

DOCKETED

Docket Number:	19-BSTD-03
Project Title:	2022 Energy Code Pre-Rulemaking
TN #:	235960
Document Title:	Transcript for 10-6-20 Public Workshop
Description:	This file is the transcript of the public workshop held on October 6, 2020.
Filer:	Peter Strait
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/16/2020 11:05:21 AM
Docketed Date:	12/16/2020

CALIFORNIA ENERGY COMMISSION

In the Matter of:

2022 Energy Code) Docket No. 19-BSTD-03
Pre-Rulemaking)

WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM, FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

TUESDAY, OCTOBER 6, 2020

9:00 A.M.

Reported by:
Troy Ray

APPEARANCES

STAFF

Mazi Shirakh, CEC Lead for Building Decarbonization

Payam Bozorgchami, Project Manager

William Pennington, Commissioner's Office

Peter Strait, Supervisor

Danny Tam

P R O C E E D I N G S

9:01 A.M.

SACRAMENTO, CALIFORNIA, TUESDAY, OCTOBER 6, 2020

MR. BOZORGCHAMI: Hello everyone. Thank you for joining us today. We'll start the workshop about 9:05 just to allow people to log on and take care of any technical issues that they have.

(Off the record at 9:01 a.m.)

(On the record at 9:05 a.m.)

MR. BOZORGCHAMI: I've already received one question, if today's presentations will be posted on our docket. Yes, they will be. They will be done so by tomorrow morning.

This webinar will also be recorded, and it will be transcribed, and we do have a court recorder on hand, and we will be posting those at a later time.

So, this presentation is being recorded, and hello, everyone, good morning. My name is Payam Bozorgchami. I'm the project manager for the 2022 Building Energy Efficiency Standards. I want to welcome you to the Energy Commission Virtual Pre-Rulemaking Workshop for the 2022 Energy Standards.

1 The workshop today is on heat pump based
2 on requirements for low-rise residential, high-
3 rise multifamily and nonresidential buildings.
4 This workshop also includes PV and battery
5 storage requirements for high-rise multifamily
6 and nonresidential buildings.

7 Excuse me. But, first, let me provide
8 you some housekeeping rules. We will be muting
9 everyone, and after each proposed measure is
10 presented or every presenter, we will pause for
11 questions and answers, and you can either raise
12 your hand and we will unmute you, or you can
13 submit your questions in the question and answer
14 box within Zoom, and we will try to answer your
15 questions as they come in.

16 There's going to be a lot of people on
17 the call today. I see right now there's about
18 118 attendees. Bear with me. I know there's
19 going to be lot of questions asked and there's
20 going to be a lot of raised hands, and I will do
21 my best to get to everyone.

22 And if you're on your phone you could use
23 star six to mute and unmute yourself. One
24 important thing to remember is that when you do
25 -- when we do unmute you, please state your name

1 and who you're affiliated with. And I'll
2 apologize right now. I'm going to be very
3 stickler about this, and the reason is we have a
4 court reporter on hand, and he needs to know who
5 is presenting, who's asking the question or who's
6 commenting for the record. So, apologize right
7 now. I'm going to be a little bit of a stickler.

8 This program is the best we got. It's
9 totally different than what you folks are used to
10 in coming to the Energy Commission and having the
11 workshops at the Energy Commission, so apologize
12 for any inconvenience, but it is what it is.

13 So, with that, I'm going to share our --
14 what we're going to be covering today, but,
15 first, before we start we're going to have some
16 opening comments from Commissioner McAllister's
17 office, Bill Pennington, one of Commissioner
18 McAllister's advisors, has a few words to say.
19 Bill.

20 MR. PENNINGTON: Okay. Let me get my
21 notes up here, Okay.

22 Good morning. My name is Bill
23 Pennington. I'm a member of the Energy
24 Commission staff. Recently Commissioner
25 McAllister requested that I provide him with

1 advisory assistance for the 2022 Building
2 Standards.

3 The Commissioner would definitely have
4 liked to have been able to be here this morning
5 to provide opening remarks for the workshop, but
6 he has multiple competing obligations and asked
7 for me to share his thoughts instead.

8 So, to begin with, the Energy Commission
9 has a strong policy to pursue decarbonization as
10 its highest priority goal. The Energy Commission
11 recognizes the potential for heat pump
12 technologies to dramatically reduce GHGs for
13 space heating and water heating.

14 A priority of the 2022 building standards
15 is to identify ways the standards could encourage
16 the expanded use of heat pumps.

17 The status quo today in the marketplace
18 is that the market penetration of heat pumps in
19 newly constructed buildings is in the single
20 digits, and we must recognize that to change this
21 to a situation where heat pumps are the
22 predominant choice in newly constructed buildings
23 will be a substantial process.

24 Heat pumps are different animals. You
25 could maybe characterize them as slow and steady.

1 They don't create the instantaneous heat that
2 consumers may have learned to enjoy. The heat
3 pumps extract heat from the ambient air in a much
4 slower process than combusting fuels or heating
5 up electric resistance coils. And the heat that
6 heat pumps produce is generally at a
7 substantially lower temperature. As a result,
8 they don't provide the instantaneous heat that
9 comes from combustion or electric resistance.

10 Heat pumps need to run consistently over
11 hours really to achieve and maintain the desired
12 level of heating. And as we go forward we need
13 to be careful to recognize those characteristics
14 and avoid extensive inopportune use of electric
15 resistance backup, especially in climates where
16 temperatures fall below 40 degrees Fahrenheit.

17 As we proceed, building occupants will
18 need to perceive heat pumps as just as good at
19 providing the functionality that they expect.

20 Building developers will need to be
21 satisfied that if they switch to heat pumps they
22 will not lose customers or receive excessive
23 customer complaints and call backs. They will
24 need contractors and workers who can do a good
25 job of installing these more complicated

1 machines.

2 There should be no product availability
3 issues that delay completion of construction, and
4 heat pumps that come into the market are not poor
5 quality or prone to defect.

6 It also is important for the
7 manufacturing industry to deliver heat pump
8 products that succeed at meeting occupant
9 expectations.

10 Along the way there will be a need for
11 customer information to make sure that consumers
12 understand how to operate heat pumps and have
13 reasonable expectations for them, that there be
14 good installation and commissioning of heat
15 pumps, and there be good and consistent delivery
16 of high-quality heat pumps.

17 For the State to be successful in moving
18 to its goal of broad scale use of heat pumps it
19 will be important that we accomplish the
20 transition in a way that encourages market
21 acceptance and builder, developer buy in and
22 engagement.

23 Today's workshop will provide information
24 about approaches, staff and Energy Commission
25 contractors are investigating to determine where

1 heat pumps can be good candidates for baseline
2 technologies in low-rise residential, high-rise
3 multifamily and selected nonresidential building
4 categories.

5 So, I just want to add to Payam's welcome
6 of you all. Thank you very much for your
7 participation. I'm sure the Commissioner will
8 regret what he misses hearing today in person,
9 but he's very interested in your comments, and we
10 definitely will want to entertain all of your
11 questions and comments. Thank you very much.

12 MR. BOZORGCHAMI: Thank you, Bill. So,
13 next I will go through some key information for
14 development of the Title 24, Part 6. Then after
15 myself, Mazi Shirakh will give you folks a
16 general overview of heat pump base lines and PV
17 and battery storage requirements for high-rise
18 multifamily and some selected nonresidential
19 buildings. These are the buildings that we're
20 going to be looking into closely for 2022. And
21 then our consultant NORESKO, actually our
22 nonresidential consultant NORESKO's team, will be
23 presenting on baselines.

24 Then again, the NORESKO team and our
25 other consultant E3 will be talking about

1 nonresidential PV battery storage for both, and
2 also for high-rise multifamilies, and then Mazi
3 is going to come back on and share some cleanup
4 languages that we're looking into for 2022.

5 So, with that, this is our standard --
6 2022 standard process and our schedule dates. As
7 you can see, we're right now in this arena of
8 August of 2020 to October, 2022. We're doing
9 pre-rulemaking workshops and receiving codes and
10 standards enhancement reports from everybody out
11 there, including the utilities, including private
12 associations like the California Energy Alliance
13 and private manufacturers like Vertiv providing
14 proposals for us to evaluate for 2022.

15 A lot of this CASE reports and
16 presentations you'll be hearing you've heard. I
17 think there's been six workshops, and there's
18 going to be quite a few coming up, has been
19 sponsored and supported by the independent-owned
20 utilities, those folks including Pacific Gas and
21 Electric, Southern California Edison, Sacramento
22 Municipal Utility District and Los Angeles
23 Department of Power. Thanks to them, they've
24 submitted quite a few proposals. They've held
25 quite a few workshops within their own arena, and

1 they've gotten feedback from you folks, and
2 they've made their final reports, and they're
3 coming to us three or four at a week right now.

4 So, we have a lot to do in the next few
5 months. We need to have our 45-day language
6 hearing sometime in February of 2021. This is
7 really not that far away. It allows us about six
8 weeks or so to write code language to be
9 presented for the February workshop. I'm
10 assuming there will be three workshops happening,
11 most likely one for residential, one for
12 nonresidential and one for multifamily, and
13 actually, maybe a fourth one for electrification.

14 And then all this, we have to develop 15-
15 day language, and we're hoping that we go to the
16 July, 2021 business meeting for code adoption.
17 And then after that we have a few months to work
18 on compliance manuals, the computer modeling
19 program, CBECC for both res. and nonres., and
20 then we're trying to get all that done at least
21 about 12 months before the effective date of
22 January 1, 2023.

23 So, that allows everybody out there about
24 a year to really get familiar with the program,
25 with the documentations and with the standards

1 itself.

2 So, with that, we've -- our tentative
3 rulemaking schedule, as you can see, we've had
4 quite a few. Right now, today being October 6th,
5 we're going to be listening on the proposals for
6 today, and we will be revisiting these proposals
7 in the final language to be implemented into the
8 45-day language on November 19th.

9 One other key area that we had recently,
10 we had an indoor air quality workshop with the
11 scientists. It was a round-table workshop led by
12 Commissioner McAllister, himself, last week on
13 September 30th. Feedback from that workshop and
14 evaluation from that workshop we will have
15 proposal language ready to be presented at
16 another workshop on October 29th.

17 There's a lot of information on these
18 three links here. The first link is the utility
19 sponsor stakeholders, the draft CASE reports, the
20 comments that they've received is all located
21 here. Based on what you're interested in you can
22 go there and there's quite a few sublinks for
23 residential, nonresidential, multifamily. You're
24 more than welcome to go and evaluate what was
25 original proposals that was evaluated by the

1 utility team, that we have our building energy
2 efficiency program via the Energy Commission.
3 This is our website that has all the information,
4 not just for 2022, but we have the information
5 for 2019 and 2016 standards. This includes the
6 manuals, the joint appendix, and the documents
7 needed for compliance.

8 And the last website or the last link is
9 the most important link for today. This is
10 where you will find information on what we
11 present today. This is where you can submit your
12 comments by October 20th. And we're being a
13 little stickler this time around for 2022. We
14 really don't have much time. So, the sooner you
15 submit your comments, the better we are and the
16 more production and productivity we can have with
17 you and more round table we can have with you to
18 get the right message across and the standards,
19 itself. So, please, the sooner we get your
20 comments, the better we are.

21 Some key staff members. The person that
22 is really leading this electrification is Mazi
23 Shirakh. That's his email and his phone number.
24 Myself, my information.

25 Larry Froess. He's the lead. He's a

1 senior mechanical engineer with our office. He's
2 responsible and he's the lead engineer over the
3 computer software program and what goes into the
4 program.

5 Peter Strait, he's one of our supervisors
6 here at the Energy Commission. He oversees the
7 staffing that help develop the building
8 standards.

9 Haile Bucaneg, he's our senior mechanical
10 engineer with our office. He's been very helpful
11 with the work that's happening on these workshops
12 and looking at case reports and evaluating case
13 reports.

14 And, also, we recently we have a new
15 office manager. We've been with -- we've been
16 working in the dark without an office manager for
17 a long time, and Peter Strait was most gracious
18 enough to take that role temporary. But Will
19 Vicent has started with us the past two weeks.
20 And I don't have a phone number for him as we've
21 not been back to the office and he's not received
22 one, so if you need -- if you have any issues
23 with any of us you can always email him and he
24 will take care of it.

25 And then, again, comments for today's

1 workshop. You'll see this one slide over and
2 over again today because it's very important that
3 you folks docket your comments, your concerns,
4 and like I said, today we'll try and get to you
5 as best I can, but if we don't, you're more than
6 welcome to submit your comments in writing.

7 Any questions? If not, I'm going to pass
8 the baton over to Mazi and, Mazi, I'm going to
9 stop sharing, and, Mazi, you could share your
10 presentation. Thank you, everyone. Mazi, can
11 you share your presentation and unmute yourself?

12 MR. SHIRAKH: I was muted. I'm working
13 on it. I want to make sure I open -- sorry, I
14 opened the wrong document. Okay, here it is.

15 Good morning, everyone. I'm Mazi Shirakh
16 and I'm currently the Energy Commission's lead
17 for building decarbonization efforts.

18 And, so, we're going to -- just one
19 second -- first, I would like to introduce our
20 2024 Standards Building Decarbonization Team.
21 Besides myself, it's Bill Pennington, and he just
22 introduced himself, and there's a lot of help
23 from Bill. Larry Froess, and he's our senior
24 mechanical engineer in charge of the software,
25 CBECC software. Danny Tam, he's been really

1 helpful in helping develop some of these
2 baselines, Payam you know and Will you know, and
3 Will Vicent, again, he's our new office manager,
4 and just joined from Southern California Edison
5 which is really helpful because, you know, now we
6 have a utility and IRU perspective in the office,
7 which is very relevant to development of PV and
8 battery storage systems.

9 We also have a consulting team that
10 includes E3, NORESKO and TRC, and you'll hear
11 from them today.

12 So, for the heat pump baseline and the
13 storage workshop we actually have two workshops
14 scheduled, and the first one is today and the
15 next one is going to be on November 19th.

16 The difference between the two is that
17 today is a high-level overview of the
18 requirements for heat pump baselines and PV and
19 storage for these different buildings. We will
20 only include largely TDV, time dependent
21 valuation, discussion today, and we're not going
22 to spend a whole lot of time on the source energy
23 baselines.

24 Please recall that earlier in the process
25 we proposed a two-step approach that includes two

1 metrics, the real TDV that we've always used, but
2 in addition to that, a source energy that will
3 basically behave as the carbon proxy for the
4 buildings. However, the first step is always to
5 develop a TDV baseline first, and then we can
6 design a source energy threshold, a carbon
7 threshold for buildings based on that.

8 We will not be presenting any draft
9 language today. It's only the concepts, and, you
10 know, we are very interested in seeking your
11 input for the material we're presenting.

12 Comments are due not by October 19, but October
13 20th as Payam just mentioned. I need to correct
14 that date.

15 And then we're going to have a second
16 workshop on November 19th, and that's where we're
17 going to actually present the draft language and
18 detailed analysis, and it will include both
19 source energy and TDV baselines.

20 And, again, we'll probably get more
21 comments after that workshop, which after we
22 incorporate it will become the basis for the 45-
23 day language that will be presented next winter.

24 For heat pump baselines we're considering
25 options for low-rise residential buildings, high-

1 rise multifamily and selected non-res.
2 occupancies. And we're also -- and by expanding
3 the PV and battery storage requirements for high-
4 rise multifamily and selective non-res.
5 occupancies.

6 So, these are the buildings that we have
7 in mind currently, is low-rise and high-rise
8 multifamily, office buildings. And office
9 building has actually three categories. It's
10 small, medium and large, and they're very
11 different creatures actually, in that they're all
12 office, and the rest of them present some data on
13 that.

14 Same thing with retail. We have small,
15 large -- medium and large, and, again, very
16 different creatures as you can imagine because
17 the mechanical system, air conditioning system
18 are very different based on the size of these
19 buildings.

20 We're also going to be considering
21 educational facility and warehouses, and any
22 mixed-fill building where one or more of these
23 type of uses make up at least 80 percent of the
24 floor area of the building.

25 Heat pumps for space and water heating,

1 again, for high-rise multifamily and selected
2 non-res. buildings, we'll establish appropriate
3 source energy and TDV baselines.

4 And the key point here on this slide is
5 number three, must be feasible and cost
6 effective. This goes back to the comments that
7 Bill Pennington just provided. You know, we need
8 to be careful to come up with standards not only
9 that are cost effective, but they're actually
10 feasible and it can be installed in actual
11 buildings, that it does not result in cessation
12 of building construction. And, so, we're going
13 to be very careful about that, and there are some
14 challenges, as you'll see, for some of these
15 occupancies.

16 PV and battery storage requirements,
17 we're going to be considering cost effectiveness
18 for these systems. We will start with NEM2 which
19 is the current CBECC rules for solar PV
20 compensation. And, in short, the current NEM2
21 compensates behind the meter self-use and hourly
22 exports at retail or near retail, you know,
23 accounting for some non-bypassable charges.

24 However, we do know that the future may
25 be a little bit different, so we are going to be

1 considering alternative tasks, where the hourly
2 exports are compensated at the lower avoided
3 costs or even wholesale, and we'll examine cost
4 effectiveness under each of those scenarios.

5 We're going to be emphasizing to
6 maximizing self-utilization of the PV generation
7 and minimizing exports to the grid. To the
8 extent possible, you know, we would like to use
9 the generated kWh, kilowatt hours, on site rather
10 than exporting it back to the grid. And the way
11 we're going to do it is by right sizing the PV
12 system to avoided large exports and coupling the
13 PV system with battery storage system, EV
14 charging and other load-shifting strategies to
15 maximize self-utilization.

16 EV charging is actually a really good
17 possibility for non-residential buildings, and E3
18 will present some material on that one.

19 We're also considering possible credit
20 for standalone battery storage systems. Not all
21 buildings are covered here, nonresidential
22 buildings. It's possible that some of the other
23 building types may want to install battery
24 systems and we'll explore the possibility of
25 providing a credit.

1 One of the main limits to rooftop PV
2 installation is the availability of the rooftop
3 areas, especially when we get to taller and
4 taller non-res. buildings.

5 So, what about low-rise residential? You
6 know, we adopted 2019 standards and that included
7 many enhancements for low-rise residential
8 buildings, single-family and low-rise multi-
9 family, and that which included some concepts
10 like attic insulation, high performance walls,
11 IAQ and many others, and on top of that we
12 required PV systems.

13 Now, that by itself, those changes, have
14 really helped to reduce the carbon emission from
15 buildings dramatically from an atypical existing
16 building that's about 20 years old. It's
17 probably generating about 19 metric tons of CO2
18 from the building. A 2019 compliant building,
19 mixed fuel generates about three tons, so we're
20 down from 19 to around three, and with all
21 electric or heat pump in the baseline we can
22 reduce that amount to less than one metric ton
23 per year.

24 So, the question here is now how do we
25 encourage builders to switch from natural gas

1 appliances to heat pump end uses. So, here are
2 two thoughts that we have for part six. We're
3 going to create an approximately two EDR credit,
4 and that's just a base credit and it goes up, the
5 credit, if we consider a tier-four heat pump
6 water heater and the demand response credit, this
7 EDR credit can go up to around three-and-a-half
8 EDR credit.

9 And this would be available for builders
10 who voluntarily switch to both heat pump water
11 heater and heat pump space heater, and they can
12 take that two to three-and-a-half EDR credits and
13 use it to do tradeoffs, or to basically use it
14 for compliance. You know, many buildings they
15 may have more windows than prescriptively
16 allowed, or they may have more west-facing glass,
17 and to do full orientation and compliance they
18 need something that can help them to trade off.

19 So, this will be available for that, but
20 we're also very concerned about maintaining the
21 integrity of the building envelope components,
22 because, you know, we think building envelope
23 efficiency is our first line of defense, and with
24 all experiences of kind of a nasty summer, and
25 even the previous summers, where, you know, we

1 have heat wave after heat wave, forest fires.
2 And, you know, the thing that's going to help us
3 avert or minimize the impact of new buildings is
4 really a good building envelope.

5 So, we are proposing to come up with a
6 credit so they can use for tradeoffs, but at the
7 same time we want to maintain at least a minimum
8 performance from both the building shell, which
9 includes a mandatory requirement R13 below deck
10 roof insulation and a U factor of .064 for walls.
11 .064 walls allows basically a two-by-four wall,
12 but it still requires R4 continuous insulation on
13 the wall.

14 So, you know, we feel good about this
15 because we think, you know we can provide some
16 flexibility while still maintaining a decent
17 building shell.

18 And the mixed fuel buildings will not be
19 affected. If a builder wants to build a mixed-
20 fuel home they basically have to comply with the
21 current requirements which includes an R19 roof
22 deck insulation and U factor of .048 for walls,
23 and, you know, we can do tradeoffs using the
24 prescriptive package that is available and do
25 tradeoffs within that.

1 For Part 11, which is Calgreen, we're
2 proposing something similar. And here, you know,
3 this would be available for local jurisdictions,
4 cities, counties who want to adopt a more
5 aggressive code. What we're proposing is a
6 baseline that includes a heat pump water heater
7 and more efficient windows in the standard
8 design.

9 Again, we have to be mindful when we
10 create these packages that we don't run into pre-
11 emption issues, and that's why this option is
12 offered in this manner.

13 So, the builder would have a choice.
14 They can switch to a heat pump water heater and
15 include the more efficient window, or they can
16 comply by switching both heat pump water heater
17 and heat pump space heater, and that would also
18 comply.

19 And, again, the same two mandatory
20 requirements for R13 roof deck insulation and
21 .064 U factor for walls also applies.

22 And on top of that, we'd like to consider
23 battery storage ready requirements for new
24 construction. This would be for low-rise single
25 family or multi-family. And the reason for this

1 is we've actually had in the past similar
2 requirements for heat pump water heating. We've
3 had heat pump water heating ready, solar ready
4 and some other features, PV charger ready
5 requirements.

6 The reason we would consider this is
7 because these enhancements can cost very little
8 at time of new construction, but they will --
9 they can be very costly as retrofit.

10 So, some simple measurements that I've
11 listed here is panel requirements that can
12 accommodate electric end uses, PV electric
13 vehicles and future battery installation. It may
14 cost a few dollars more during new construction,
15 but it can cost substantially more as a retrofit.
16 And I've actually personally had experience with
17 that.

18 Second is identification and isolation of
19 emergency circuits that can be readily tapped
20 into in the future. And we want these
21 enhancements to be compatible with both battery
22 storage system and backup generators. So, in the
23 event of a PSPS, which is public safety power
24 shutoff events, which is becoming very common in
25 this state because of our hot, dry summers and

1 the wild fires and winds, so these buildings
2 would have the option of adding a battery storage
3 system or a backup generator that he can purchase
4 from Home Depot or Costco. And these
5 enhancements will reduce the future battery
6 storage installation by \$2,000 or more, even
7 though they may cost around a hundred bucks as
8 new construction.

9 I'm going to skip through these slides.
10 I'll come back to them. But I want to show the
11 updated Duck Curve from CAISO. And the point of
12 this slide is to suggest that the best course of
13 action if we're considering PV's is to couple
14 that PV with battery storage systems and other
15 load-shifting strategies to basically flatten out
16 the generation of the PV system. Otherwise, you
17 know, we will aggravate this Duck Curve and which
18 will result in more curtailment.

19 And the way we do that is through grid
20 harmonization strategies, and these are
21 strategies and measures that allow the home
22 occupants to use their energy assets to maximize
23 self-utilization of the PV output and limit the
24 grid of exports.

25 And, again, the strategies include

1 battery storage systems, demand response, thermal
2 storage system or even electric vehicle, in
3 particular in nonresidential buildings.

4 And here's what a battery storage system
5 can do for a building. This is a 2019 compliant
6 building. This is an August 6th day in climate
7 zone 12, Sacramento. And this is a building that
8 has all the appropriate wall insulation, attic
9 insulation, windows and everything else and about
10 a 3 kW PV system.

11 The red line that you see here is how
12 this building behaves without a battery storage
13 system. So, it's importing electrons from the
14 grid during the night, and the sun comes up and
15 the PV starts generating, then you start
16 exporting to the grid, and then during the ramp
17 when the evening sun has gone done, then you rely
18 on the grid. And this actually stresses the grid
19 because this is the time when everybody turns on
20 their air conditioning systems and the grid has
21 to bring probably some of its at least clean
22 generation resources.

23 And if you look at the shape of this red
24 line, it looks like a good Duck Curve. However,
25 if you add about 14 kilowatt hours of battery

1 storage system, you'll see that this building is
2 hugging the zero line about 20 hours out of 24
3 hours. And so that means it's actually invisible
4 to the grid during these hours. And for a
5 period, then, when the batteries are all charged
6 up, then, you know, that is the charge. And then
7 what happens here during the ramp, instead of
8 relying on the grid to meet loads, we are relying
9 on the battery to meet loads. It really
10 harmonizes this building with the grid.

11 So, with that I'd be happy to answer any
12 questions. Otherwise, I'm going to turn it over
13 to NORESKO to make their presentations. Any
14 questions?

15 MR. BOZORGCHAMI: So, Mazi, this is Payam
16 again. We have quite a few questions and
17 questions/answers, but we have one raised hand,
18 and that's Enrique, and Enrique, I'm going to
19 unmute you, sir. Please give us your name and
20 your affiliation, please.

21 MR. RODRIGUEZ: Hi, Payam. Enrique
22 Rodriguez, Building Standards Commission.

23 Mazi, I noticed that you skipped over
24 some of the slides. Were you going to go back to
25 show or --

1 MR. SHIRAKH: Yes.

2 MR. RODRIGUEZ: Okay, okay. That was
3 just my comment. Thank you.

4 MR. SHIRAKH: I should also add this
5 workshop would probably take about five hours,
6 and we're about 50 minutes, 45 minutes into it.
7 So, hang in there. We may have to break for
8 lunch and then come back to finish things up.

9 To answer Enrique's question, yeah, I
10 skipped over the clean-up language. That's going
11 to come after our consultants talk about the
12 topics that they're going to be presenting.

13 MR. BOZORGCHAMI: Thank you, Enrique.
14 Thank you, Mazi. We have some questions and
15 question/answers.

16 MR. STRAIT: Do you want me to read those
17 off?

18 MR. BOZORGCHAMI: Peter is going to do
19 those, but please state who it is from and their
20 question.

21 MR. STRAIT: Sure. I am going to be
22 going mostly in order, but I am going to be
23 skipping ones that aren't specific to the topic
24 material.

25 First, Joe Cain asks, "If office includes

1 high rise as well as low rise offices?"

2 MR. SHIRAKH: Yes, it includes -- again,
3 we don't differentiate by the number of floors.
4 We differentiate by the square footage. So --
5 and I think NORESKO's presentation will clarify
6 that.

7 MR. STRAIT: Sean Martin from the
8 International Code Council asks, "Is electrical
9 energy storage the only option being considered
10 or are other energy storage technologies like
11 thermal in play?"

12 MR. SHIRAKH: Anything that has load
13 shifting can be used. Again, the key is when we
14 use kind of battery storage system as kind of a
15 catchall, but the goal is here to kick those
16 kilowatt hours and use them behind the meter.
17 So, whatever helps us to do that and it's
18 feasible and cost effective is good. So, that's
19 the answer.

20 MR. STRAIT: All right. Claire Warshaw
21 asks, "Can we please mention what size panels in
22 terms of the main size amperage are typically
23 being required for these systems? For an
24 example, square footage residential homes."

25 MR. SHIRAKH: We're working with the

1 California Storage and Solar Association to nail
2 some of the details, and currently the panels
3 that are available for new construction are 200-
4 amp panels. And, unfortunately, it appears that
5 the next step up is 400 amps which is for like
6 small commercial units.

7 And we're trying to explore possibilities
8 to see if we can actually have panels that are
9 either a 280 or 320, but that's a work in
10 progress for now. We can potentially have a bus
11 bar that's connected to an existing 200-amp panel
12 that carries about 225 amps, but that seems to be
13 the limit.

14 But, you know, we are attempting to
15 explore the possibility of seeing if the panel
16 manufacturers can actually make available large
17 panels in the 280 to 320 amp.

18 MR. STRAIT: Michael Winkler, I think you
19 might have already answered this, but they're
20 asking, "Would you allow thermal storage as an
21 alternative to battery storage?"

22 MR. SHIRAKH: They can work side by side.
23 Again, the key is to -- they can be an
24 alternative, they can be side by side. The way
25 that TDV works is that we're going to set a

1 budget for storage systems in general for load
2 shifting. And the building on our designers,
3 they can use any of the available technologies or
4 a combination of them to get to those targets.
5 So, they can be complementary to each other.

6 The only caveat is that sometimes when
7 we're talking about thermal storage and battery
8 storage, they compete for the same rooftop space,
9 and then that really becomes the choice of the
10 designer to look at their building, what's
11 available, and what is the cost and what's the
12 benefit, and decide which system they want to
13 use.

14 Again, you know, we're going to set
15 performance targets using TDV and source energy,
16 and then we're agnostic as how they get there.
17 But there it is going to be likelihood involved
18 some battery storage because they're so effective
19 in load shifting compared to other strategies,
20 because what battery storage do, they actually
21 shift the entire load of the building, including
22 HVAC, lighting and plug loads. Most other
23 battery storage technologies impact only one or
24 two of those end uses. But, you know, it is what
25 it is. You know, we will provide the means

1 within the software for any of these technologies
2 to have an opportunity to meet those targets.

3 MR. STRAIT: Brian Finn asks, "Where can
4 we find the heat pump ready language that has
5 been developed and they're specifically looking
6 at low- and high-rise multifamily residential?"

7 MR. SHIRAKH: Stay tuned. It's coming
8 right up.

9 MR. STRAIT: I can add to that that there
10 are some local ordinances that have language to
11 this effect. If you want an example of what that
12 language could look like, but again, we are
13 working internally to develop that.

14 MR. SHIRAKH: Okay.

15 MR. STRAIT: Tom Paine asks, "Is there
16 cost benefit data for heat pumps that the Energy
17 Commission is using that is available for
18 review?"

19 MR. SHIRAKH: It will be part of our
20 final report, yes.

21 MR. STRAIT: Clifton Stanley Lemon asks
22 about incentivizing. That's not really a
23 question for us. I'm going to dismiss that.

24 Sean Armstrong is asking to explain the
25 difference between minimum wall requirements for

1 hybrid versus all electric. I'm not sure --

2 MR. SHIRAKH: So, I think he's talking
3 about -- let me go back to this slide here. Did
4 I go back too far? Yeah.

5 So, if I understand the question
6 correctly, you know, we mentioned here that if
7 the builder voluntarily installs a heat pump
8 water heater and then a space heater they'll get
9 between a two to three-and-a-half EDR credit.
10 But we want to make sure that that credit is not
11 entirely used to compromise the roof deck
12 insulation and the wall insulation. So, we
13 instituted these minimum requirement for this
14 voluntary option only.

15 If the builder continues to build a mixed
16 view home or decides to forego this credit
17 altogether, because this will likely be a check
18 box in the software, if they don't check that
19 box, then they have scenario just like it is
20 today where you have a mixed fuel home and the
21 baselines include an R19 -- these are
22 prescriptive requirements -- R19 roof deck
23 insulation and .048 U factor for the walls. And
24 they can still do tradeoffs, like putting in
25 better windows. They can put in more efficient

1 furnaces, water heaters. They can hire
2 efficiency air conditioning as it is today.
3 Those are all available to both options.

4 So, I don't know if that answers the
5 question. Sean, feel free to email me
6 separately, and if I'm not understanding your
7 question correctly I'll be happy to respond.

8 MR. STRAIT: This may be a rhetorical
9 question but I'm going to ask it in good faith.
10 Nehemiah asks, "Why not include enough battery
11 storage to turn the shark fin, the Duck Curve,
12 into a flat line?"

13 MR. SHIRAKH: It's a question of cost
14 effectiveness, and, actually, I looked at that
15 myself quite a bit with my simulations and I
16 think E3 is confirming that it becomes virtually
17 impossible in some nonresidential buildings to
18 eliminate all the exports, even if you put
19 infinite amount of batteries, because the
20 building powers and the way the loads work, you
21 know, after a certain level the batteries will
22 have a diminishing return.

23 So, the best strategy would perhaps to
24 minimize the exports down to a level around 10
25 percent, maybe lower, something in that

1 neighborhood and live with some limited exports.
2 But that would allow us to actually have a very
3 reasonable and more reasonable than cost
4 effective battery storage strategy.

5 So, again, we'll get into those details
6 hopefully when E3 presents in the November 19th
7 workshop.

8 MR. STRAIT: Sure. Steve Rosenstock
9 asks, "For the battery storage in residential
10 facilities is there going to be a minimum
11 kilowatt hour capacity that will have to be
12 installed?"

13 MR. SHIRAKH: So, we're not recommending
14 any change to the low rise, but I believe -- I
15 wish that Danny Tam had the -- I think the
16 minimum requirement is either seven-and-a-half or
17 five, and Danny could answer that question.

18 But again, battery storage is not
19 required for low rise. You can put in any size
20 battery that you want, but if you want to get
21 compliance credit for that battery, it has two
22 requirements. It must be J12 compliant, and it
23 must have a minimum capacity of I believe at
24 least seven-and-one-half kilowatt hours. It
25 could be five kilowatt hours. I need to check on

1 that.

2 MR. TAM: This is Danny.

3 MR. SHIRAKH: Yes.

4 MR. TAM: J12 would require five kilowatt
5 hours.

6 MR. SHIRAKH: Thank you. Okay, so it's
7 five.

8 MR. STRAIT: Alice Sung asks, "Does the
9 current selected nonresidential sector type
10 considered for electrification include preschools
11 and daycare centers?"

12 MR. SHIRAKH: So, it says educational
13 facilities. That would include preschool,
14 because a lot of preschools are actually part of
15 the elementary school. So, it would include
16 that, but as far as daycare centers, I don't
17 think so. That's not what we call an educational
18 facility. We're talking about high schools,
19 elementary schools, community colleges,
20 universities.

21 MR. STRAIT: Steve Rosenstock actually
22 has a follow up of how big of a battery can be
23 used with battery-ready requirements," but I'm
24 not sure. Battery ready would imply that the
25 battery is not yet installed, so I'm not sure if

1 I'm understanding the question.

2 MR. SHIRAKH: So, you know, we're going
3 to basically size the circuits to accommodate --
4 a lot of times people put in one or two battery
5 storage systems in a residential unit which could
6 be the capacity as high as 28 kilowatt hours.
7 But the wiring will be sized based on the
8 discharge rate of the batteries, which is
9 something in the neighborhood of five to seven
10 kilowatts. And that stays the same whether you
11 have one or two batteries. And when you have
12 more batteries it doesn't necessarily increase
13 your discharge rate. It increases the number of
14 hours that those batteries can discharge. So,
15 and we'll be considering these factors in our
16 recommendations.

17 MR. STRAIT: Bruce Severance asks, "If we
18 are considering the carbon footprint of lithium
19 batteries under lifecycle issues as a variable in
20 EDR and TDV." So, I think this means like the
21 embodied carbon.

22 MR. SHIRAKH: The embodied carbon, that's
23 something we need to decide.

24 MR. STRAIT: I do know that we have some
25 staff that are looking into some embodied carbon

1 metrics, so we're trying to get up to speed on
2 that one.

3 MR. SHIRAKH: Yeah.

4 MR. BOZORGCHAMI: Peter, let me interject
5 here for a minute. I had two raised hands
6 earlier on, Megan Cordes and I forgot the other
7 person's name. I apologize.

8 MR. STRAIT: Before we do that, I believe
9 right now we're going to go through the questions
10 and then do any public commentary, or are we
11 saving the public commentary for the end?

12 MR. BOZORGCHAMI: These folks had their
13 hands up for a while now. I was wondering if
14 it's okay for them to jump in real quick.

15 MR. SHIRAKH: Let's hear it out.

16 MR. BOZORGCHAMI: Okay. I don't know,
17 Jim, you had your hand raised. There we go.
18 Please state your name and your affiliation and
19 unmute yourself, too.

20 MR. PUREKAL: Can you hear me now?

21 MR. SHIRAKH: I can hear you, yeah.

22 ME. PUREKAL: Great. This is Jim Purekal
23 from SunPower Corporation. I just posted my
24 question also, and I was wondering, maybe comment
25 about the difference in costs between new

1 construction battery storage installations versus
2 retrofits. I was wondering if you have any data
3 that you can --

4 MR. SHIRAKH: You know, I think NORESCO
5 is going to get into the construction costs for
6 new construction, and that would include -- these
7 are all for nonresidential, so they're going to
8 be looking at small commercial to medium and
9 large.

10 I can tell you that what happens in a
11 retrofit, you know, you have additional costs
12 because -- and I actually experienced that myself
13 -- that's associated with adding a subpanel. In
14 some cases, you have to isolate the circuits, you
15 have to find walls and, you know, run conduits,
16 which could increase the cost by a couple or
17 three thousand bucks.

18 The subpanel itself might cost, you know,
19 someplace around \$900, \$950.

20 So, let's hear what NORESCO is going to
21 be presenting on the costs for the various
22 commercial buildings, and we haven't really done
23 a deep dive in retrofits because that's not part
24 of our mission. We know that retrofits always
25 cost more. There's economies of scales and

1 there's also complexities of modifying the
2 circuitry in an existing home to be compatible
3 with the battery storage systems and backup power
4 and all that.

5 So, let's give NORESKO a chance, and then
6 we'll try to answer any more questions.

7 MR. PUREKAL: Okay, thank you.

8 MR. STRAIT: Tom Kabat, this is another
9 one I might not be understanding the question
10 fully, is asking, "In the interest of providing
11 flexibility to cities that wish to pass local
12 'lag codes' that avoid allowance of gas-fired
13 heat and gas-fired water heating, will the lag
14 codes do that, if they can show that they'll save
15 energy and money?"

16 MR. SHIRAKH: I do not understand the
17 term "lag codes." I've never heard of it.

18 MR. STRAIT: Yeah.

19 MR. SHIRAKH: I hate to venture. Can I
20 ask the commentor to please email it?

21 MR. STRAIT: They've raised their hand,
22 so --

23 MR. BOZORGCHAMI: Please state your name
24 and affiliation, please. Thank you. And unmute
25 yourself. I apologize.

1 MR. KABAT: Hello. My name is Tom Kabat.
2 I'm an independent energy consultant. So, my
3 question, first, I was noticing that the base
4 code looks like it can be greatly simplified by
5 just avoiding the allowance of gas-fired heating
6 and gas-fired water heating, you know, to help
7 the state pursue its climate goals as well. And
8 then I note the Energy Commission has expressed
9 an interest in providing flexibility in the code,
10 and so I'm asking can -- with an electric base
11 code can flexibility be provided to cities?
12 Instead of having reach codes, let those who want
13 to still have gas in their code pursue a lag code
14 where they would try to show that gas still saves
15 energy and money for them.

16 MR. SHIRAKH: This will be part of Part
17 11, and I think the way Part 6 works is that, you
18 know, we establish targets for both TDV and
19 source energy. Again, that would be know, we
20 establish what the performance levels should be,
21 and through performance standards people can have
22 all sorts of alternatives -- alternative designs.
23 They can use different equipment, different
24 efficiencies, mix and match as long as they meet
25 those performance thresholds.

1 So, I mean, that's the general approach,
2 and, you know, if there are ways that the local
3 jurisdictions can meet those requirements, yes,
4 it is allowed.

5 And, also, at the local level, you know,
6 they have flexibility to create their own
7 packages, too, for the reach code. And as long
8 as they do not violate the Part 6, the mandatory
9 part, or the base quoted in Part 6, as long as
10 it's not less stringent than that, then they can
11 create any package that meets those requirements
12 or go beyond.

13 So, I hope that that answers your
14 question. If not, again, send us an email and
15 we'll look at it. And this relationship with
16 Part 6 and 11 can be complicated, so, we'll try
17 to provide you with a more comprehensive answer.

18 MR. STRAIT: Enrique raised his hand and
19 put it back down, so --

20 MR. SHIRAKH: Okay.

21 MR. BOZORGCHAMI: It's back up.

22 MR. STRAIT: Enrique Rodriguez with the
23 California Building Standards Commission, and can
24 also speak a little bit to the interaction
25 between Parts 6 and 11. Try to tell us what they

1 are. I'm going to -- I permit you to speak if
2 you're willing to unmute yourself.

3 MR. RODRIGUEZ: Thank you, Peter.
4 Enrique Rodriguez, Building Standards Commission.

5 So, Mazi, when you're talking about local
6 jurisdictions having the ability to create their
7 own, I guess means of complying with that as a
8 voluntary measure, I'm assuming that in order to
9 do that they would potentially amend -- would
10 they have to amend Part 6 in their ordinance?

11 MR. SHIRAKH: No, they cannot amend
12 parts. They have to comply with Part 6.

13 MR. RODRIGUEZ: Okay.

14 MR. SHIRAKH: At a minimum, but they can
15 go beyond that if they wish.

16 MR. RODRIGUEZ: Okay. So, in order to go
17 beyond it, normally if the jurisdiction is trying
18 to enforce something like that, they'd have to
19 file their local amendment with the Building
20 Standards Commission.

21 MR. SHIRAKH: Correct.

22 MR. RODRIGUEZ: And, then, it's
23 specifically amending an element or a code within
24 Part 6, then we would actually then require
25 findings and proper filing.

1 MR. STRAIT: Right. So --

2 MR. RODRIGUEZ: And the same thing would
3 occur with an amendment to Part 11, you know, any
4 amendment to Part 11 would have to be filed with
5 us as well. And if it's something that's
6 amending something that is proposed by the Energy
7 Commission then we normally -- we'd send out to
8 the Energy Commission for review.

9 MR. STRAIT: Yeah. There is a process
10 for implementing local amendments, and what we're
11 saying is that the code as written right now
12 establishes performance targets, and inherently
13 that means there's a level of flexibility baked
14 into that code, and within that flexibility the
15 code provides if local ordinances wanted to move
16 forward being more stringent with relation to
17 carbon or having packages that permits use of gas
18 equipment, that's a decision that there should be
19 room for on the local level.

20 We are still looking at and working
21 through what exactly these targets are going to
22 look like in 2022, but that's the answer. If we
23 are at a very, very strict target for something,
24 we might have to have that conversation at that
25 point, but at the moment we can say that the

1 inherent nature of a performance target is that
2 it provides flexibility and it creates a
3 territory that local jurisdictions connect with.

4 MR. RODRIGUEZ: Okay. Thank you.

5 MR. BOZORGCHAMI: Peter, hold on one
6 second. Megan has her hand raised and I want to
7 let her talk. Go ahead, Megan, state your name
8 and affiliation.

9 MS. CORDES: Thank you, Payam. Megan
10 Cordes with SunPower. Hi, Mazi. So, TDV, EDR
11 credit for electrification of water heating and
12 space heating, have you considered adding onto
13 that if folks do electric cooking and just
14 completely avoid gas to the site at all?

15 MR. SHIRAKH: No, not at this point. And
16 one of the reasons is that switching to gas
17 cooking doesn't really enhance the EDR or TDV
18 credit performance of the house. So, that
19 doesn't really have a big impact. It might have
20 some marginal impact, but it's about half an EDR
21 point. But this doesn't preclude the builders on
22 their own to actually do that. I mean they can
23 switch to a heat pump water heater and space
24 heater and get, let's say, about three EDR or
25 three-and-a-half EDR credit if they put a T4 heat

1 pump water heater. And they can switch the
2 cooktop, too, and that credit is still available.
3 It's just not part of our base requirement.

4 And the reason is that a lot of folks out
5 there, they like their gas cooktop, and this is
6 one of those market transition things that, you
7 know, we need to do.

8 And builders are interested in building
9 homes that they can sell, and whether it's real
10 or perceived a lot of people think gas cooking is
11 superior. I personally don't share that, but I'm
12 not the greatest cook on the planet either.

13 So, because of that, you know, we thought
14 we should leave the cooktop out of this and not
15 making it a requirement, but the credit is
16 certainly available to the builder, if they
17 decide to go basically all the way.

18 And, by the way, they can also put a, you
19 know, maybe a heat pump clothes dryer, and we're
20 thinking about creating a credit for that and get
21 additional credit for that. But, again, we're
22 not making that a requirement. It's an option
23 that is available. I hope that answers your
24 question.

25 MR. STRAIT: I'm noticing that a lot of

1 questions that are now coming in are kind of
2 going into the weeds in terms of level of detail.

3 MR. SHIRAKH: Right.

4 MR. STRAIT: Do we want to --

5 MR. SHIRAKH: I suggest because, again,
6 this was supposed to be a 40 minute and I think
7 we're past that. I suggest unless there's a
8 specific question we move to the next presenters.

9 MR. STRAIT: I think the only general
10 question that we have is Dennis Peters is asking,
11 "Will community solar be an option for the PV
12 requirement?"

13 MR. SHIRAKH: Where they're available.
14 Not very many places in the state, we only have
15 SMUD that has community solar. They may extend
16 it to nonres., but we don't have any community
17 solar option available within the IOU territories
18 or even other communities. So, if they become
19 available, yes.

20 So, I really think we should move on.

21 MR. BOZORGCHAMI: Mazi, we have to stop
22 for one minute. Apologize. We have our public
23 advisor as a panelist right now, and she has a
24 few letters that she has to read.

25 MR. SHIRAKH: Okay.

1 MR. BOZORGCHAMI: So, I'm going to ask
2 her to unmute herself. Noemi, would you please
3 unmute yourself and state your affiliation and
4 please read the documents.

5 MS. GALLARDO: Thank you, Payam. Hi
6 there, Mazi, good to see you. Hi there, public.
7 My name is Noemi Gallardo. That's spelled N-O-E-
8 M-I. Last name is G-A-L-L-A-R-D-O. I am the
9 public advisor for the Energy Commission, and I
10 have three comments that I'd like to release, and
11 this is on behalf of members of the public.

12 The first one is from Stephen Pallrand.
13 That's spelled S-T-E-P-H-E-N, P-A-L-L-R-A-N-D.
14 He's from Homefront Build. He says:

15 "We are a design/build firm in Los
16 Angeles and currently design all our projects as
17 all-electric homes. We have proven that this
18 makes sense financially as well for reducing the
19 effects of climate change. This is a critical
20 issue and it needs to be implemented. Thank
21 you."

22 "The car industry has seen the future and
23 is heading in all electric direction. The
24 building industry needs to catch up."

25 The second comment I have is a little

1 longer. It's from Paulina Souza. It's spelled
2 P-A-U-L-I-N-A. Souza is S-O-U-Z-A. She's a
3 partner director of Sustainability at WRNS
4 Studio. She says:

5 "As a partner of WRNS Studio, an architectural
6 and planning firm with headquarters based in San
7 Francisco, I am writing to ask that you consider much
8 clearer and stronger language and benchmarks to direct
9 the building industry to design without fossil fuels. As
10 a lifelong practicing California architect, I have seen
11 the tremendous benefit from California code leadership in
12 areas of fuel efficiency, air quality and health. Please
13 take this opportunity to continue to lead by requiring
14 the quick phasing out of fossil fuels given the short
15 timeline we now have to make positive change."

16 "In the last five years, our firm has designed
17 numerous public and private projects that did not depend
18 on gas for building systems. The results have been award
19 winning, and more importantly, healthy and comfortable
20 for the user and community. While there is often initial
21 pushback, the pushback we have experienced often
22 disappears when the client or developer understand the
23 cost benefit of a simpler set of utilities and the
24 availability of market ready systems for heating, cooling
25 and cooking. In order to leverage this experience, and

1 the numerous other projects designed and built by others
2 in our area, we ask that you support a single electric
3 baseline for all buildings, sending a message of
4 commitment to combating climate change and an
5 understanding that the technologies are already in the
6 market to support this goal and result.”

7 “Building new mixed fuel buildings is creating
8 more buildings that will need retrofits to meet our 2045
9 carbon neutral goals. Retrofits are more expensive and
10 are difficult in occupied building. Since buildings are
11 long lived assets with 50-75-year lifespan versus
12 approximately 12 for cars and appliances, we need to get
13 started on building with all electric right quickly. Our
14 office is currently designing an all-electric affordable
15 housing project near the San Francisco Civic Center. If a
16 project that is typically budget stressed can make this
17 commitment, I believe other clients and program types can
18 too.”

19 “Please consider clear language that supports a
20 just transition from fossil fuels with policies that
21 protect workers and low-income communities.”

22 “Thank you for consideration and your time.”

23 The final comment is from Marc L’Italien.
24 Marc is M-A-R-C. Last name is capital L-
25 apostrophe, capital I-T-A-L-I-E-N. He’s a design

1 principal at HGA.

2 “The time has come for our energy code to
3 have a much stronger approach to climate change.
4 As a Bay Area resident for over 30 years, I am
5 acutely aware of the changes in our regional
6 climate, and my industry has a capacity to do
7 more in advocacy and in the design of our
8 buildings. It’s time to stop burning fossil
9 fuels inside of buildings and shift to all
10 electric, or at minimum, for heating and cooling.
11 I have designed two notable all-electric
12 buildings in the Bay Area. The Exploratorium at
13 Pier 15, and the David and Lucille Packard
14 Foundation Headquarters, that we found to be cost
15 effective, reliable and robust. It’s encouraging
16 to see this trend increasing.”

17 “HGA supports CEC’s expansion of rooftop
18 solar to more building types. HGA designed the
19 all-electric Science Complex at Los Angeles
20 Harbor College with roof-mounted PV’s, and we
21 recently completed the Net Zero Energy Westwood
22 Hills Nature Center in St. Louis Park, Minnesota,
23 which will not only operate electrically, but
24 share this story and its use of rooftop solar
25 with the local population through interpretive

1 exhibits.”

2 “We support a single electric baseline
3 for all building, and most of our clients are
4 headed in this direction. It’s generally less
5 expensive to go all-electric due, in part, to
6 utilizing only one energy infrastructure rather
7 than two. The time to act is now, as Title 24
8 2022 would go into effect in 2023, but it can
9 take years for permit through construction, so
10 new buildings will still be opening with gas as
11 late as 2026. Building new mixed fuel buildings
12 only puts off the inevitable. Design right now
13 in alignment with our 2045 carbon neutral goals
14 to avoid far costlier and more disruptive
15 retrofits later. Ratepayers are still
16 subsidizing new gas infrastructure, yet the State
17 of California is committed to 100 percent clean
18 energy by 2045. This infrastructure will not be
19 paid off by then. Let’s also not forget that far
20 more damage occurred in the 1906 earthquake as a
21 result of fires caused by gas line breaks. As
22 earthquakes pose a constant threat, let’s
23 eliminate this infrastructure liability now with
24 a safer approach.”

25 “Fires aside, California tops the chart

1 for most polluted air in the U.S. and buildings
2 are significant contributors to this problem.
3 Buildings in California use more gas than
4 powerplants, but building don't have pollution
5 controls, and so they emit seven times more
6 pollution. We need to align our thinking with
7 the Governor's recent announcement to phase out
8 gasoline powered cars by 2035 and put that same
9 urgency towards our electricity consumption in
10 our built environment. We can no longer pick and
11 choose the industries to which we make this
12 effort and need a cohesive approach to reducing
13 fossil fuel dependency and shifting our energy
14 sources in all departments and levels of
15 government."

16 "Lastly, safety and welfare of building
17 occupants is of paramount concern to all
18 practicing architects. Recent research has shown
19 that combustion inside the home is particularly
20 concerning for health impacts and the pollution
21 generated disproportionately affects low income
22 and communities of color that are already over-
23 burdened with pollution. We support a just
24 transition from fossil fuels with policies that
25 protect workers and low-income communities."

1 "We advocate for a stronger approach,
2 investing now in building the right way for the
3 future."

4 That's the final comment. Thank you so
5 much, Mazi, for enabling me to deliver those at
6 this moment. Apologies if that interrupted your
7 flow. So, that's it. Thank you.

8 MR. SHIRAKH: Thank you for reading those
9 so eloquently. I appreciate that. So, yeah, we
10 understand the urgency.

11 So, unless there's other questions, I
12 really urge to move on. I think this concludes
13 the easy part of the workshop. Now we're going
14 to take a deep dive into some of the details. I
15 think next up is NORESCO, and they're going to
16 talk about multi-family heat pump baselines.

17 And I would ask each presenter to
18 actually turn on their video so people can see
19 that. I think that makes it a little bit more
20 personal. It's better.

21 So, Payam, take it away.

22 MR. BOZORGCHAMI: Sure. And, folks, I
23 know there's a lot of questions and raised hands
24 coming up, and we will get to you one way or
25 another. Your questions are saved and we will be

1 evaluating, looking at those, and, if needed, we
2 will be having a communication dialog with you.

3 MR. SHIRAKH: Yeah.

4 MR. BOZORGCHAMI: So --

5 MR. SHIRAKH: We will respond to all
6 questions one way or the other. We may not get
7 to every single one of them today. Again, this
8 will be a long day, so --

9 MR. BOZORGCHAMI: Yeah. If we keep going
10 the way we're going, we'll be here until
11 dinnertime, so yeah.

12 I think is it Roger or is it Nikhil who
13 is going to be presenting?

14 MR. HEDRICK: It's going to be Nikhil.
15 Nikhil, you need to unmute.

16 MR. KAPUR: Can you hear me now?

17 MR. BOZORGCHAMI: Yes. Excellent.

18 MR. SHIRAKH: And you need to take over
19 the screen.

20 MR. BOZORGCHAMI: And, Ben, you're first
21 in line when we get back, and I will unmute you
22 after Nikil is done.

23 MR. KAPURA: Can everybody see the
24 screen?

25 MR. SHIRAKH: Yes, I can.

1 MR. KAPUR: Good morning. This is Nikhil
2 Kapur. I'm from NORESCO, one of the contractors
3 supporting the Energy Commission with the 2022
4 Code Cycle. And I'll be presenting here on the
5 heat pump baseline analysis for high-rise
6 residential buildings. As Mazi and Bill pointed
7 out, there's a lot going on in that area, so we
8 decided to look at the 2022 ACM baselines for the
9 performance for the high-rise residential
10 buildings.

11 Oops, sorry. So, one of the main
12 objectives here is to identify an all-electric
13 HVAC system for consideration for the 2022 ACM
14 baseline.

15 The main criteria was to evaluate
16 performance relative to our current ACM baseline
17 which use gas heat. And one of the factors for
18 once we do that, switching to electric heat, it
19 would -- there would definitely be an increase in
20 TDV, and that's the metric Mazi pointed out that
21 we will be looking at for this presentation right
22 now.

23 As -- in addition to the switch on the
24 HVAC system we would also will be looking at
25 improved performance options, particularly

1 glazing options, for inclusion into this baseline
2 to see where we land in terms of the overall
3 metrics.

4 For our analysis we're using the CEC
5 prototype. It's a 10-story high-rise residential
6 building which has a nonresidential component on
7 the ground floor with some offices and some
8 retail. So, that's the prototype we'll be
9 utilizing.

10 For our analysis we kept both the service
11 and the domestic hot water systems as electric
12 only, and these were kept constant across all the
13 analyses.

14 So, the analysis was compared against a
15 baseline of a single-zone air conditioner with
16 gas furnace heat. And initially we did consider
17 a couple of systems to be analyzed for this all-
18 electric baseline, a single zone heat pump, a
19 single zone heat pump with gas supplemental heat,
20 and a variable refrigerant flow, VRF systems, and
21 a water source heat pump with an electric boiler.

22 The ventilation for the residential
23 units, the dwelling units in particular, was kept
24 as a balanced ventilation, so supply and an
25 exhaust, and that was kept as well for all the

1 options that we analyzed.

2 All the nonresidential space occupancies
3 in the model, those were kept constant as
4 electric options so that we would be only looking
5 at just the electric systems and the baseline
6 systems for the dwelling units for comparison.

7 So, based on that, on our initial result
8 we selected the single-zone heat pump for our
9 analysis. As I mentioned in my slide earlier,
10 the baseline for the high rise residential
11 dwelling units is a single-zone air conditioner
12 with gas furnace which we analyzed against the
13 heat pump, single-zone heat pump.

14 You can see on the graph the single-zone
15 heat pump gives results close to the baseline in
16 terms of the TDV margins, but there are some
17 climate zones where we do see a negative, and
18 especially in climate zone 16.

19 So, we come pretty close to the baseline,
20 the current baseline, in terms of the TDV
21 margins, but we don't really get past that hurdle
22 in all the climate zones.

23 We did another analysis with the same
24 single zone heat pump, but we switched the
25 electrical supplemental heating to gas, and as

1 you can see with the blue bars, in most of the
2 climate zones, we kind of, you know, meet or
3 exceed the current TDV savings compared to that
4 baseline. Again, climate zone 16 is still a
5 misnomer there, but it's pretty close compared to
6 the red bar where we have the electrical
7 supplemental heating.

8 So, like I mentioned, we did include some
9 envelope options, especially like the glazing
10 options that we thought we should try and see how
11 they impact the overall results, just looking at
12 the single-zone heat pump. Our current baseline
13 demonstration for a fixed window is a .26 U
14 factor and a .25 SHGC, and as an argument over
15 the gas supplement, improving this envelope was
16 an option that they looked into.

17 We did our analysis using U factors less
18 than .36. We went all the way down to .2, and as
19 you can see, all the results in all the climate
20 zones became positive in terms of the TDV
21 margins, except for climate zone 16. That only
22 achieved the savings with a U factor of .2, which
23 is pretty close for a triple-pane window.

24 We also ran the analysis with the gas
25 supplemental heat, but just with a U factor of .3

1 and .23 which also brought us over the margin
2 there for the climate zone 16.

3 So, based on this analysis, what we are
4 looking at are heat pumps with electrical
5 supplemental heat in all climate zones with a
6 couple of different options. These are still
7 going to be, you know, worked up on for the next
8 workshop, but we looked for these U factors for
9 some climate zones changing the -- you know,
10 keeping the current requirement in climate zones
11 where we already plan on meeting that gas
12 baseline TDV savings, but then changing the U
13 factor for the climate zone, standard zone 1, 2,
14 4, 5, 10, 12, 13, 14 and climate zone 16 maybe
15 going even lower off a U factor to a .2.

16 Alternatively, we could look at climate
17 zone 16 only with a requirement of a heat pump
18 with gas supplemental heat and a U factor of .3
19 glazings.

20 Now, some of these options on the
21 envelope and other options are being considered
22 under a separate case effort which is being led
23 by TRC, and I believe there will be a separate
24 workshop that will happen to kind of look at
25 these a little bit more in detail.

1 That kind of concludes my presentation
2 here. Any questions?

3 MR. SHIRAKH: If you have any questions
4 for Nikhil, please raise your hand.

5 MR. STRAIT: The only question in the Q
6 and A box is about the timing of the agenda, and
7 actually what I'll say is we want to get through
8 these presentations before we take any general
9 commentary. We think a lot of the kind of
10 overarching commentary is going to apply across
11 the topics that are being presented. That way,
12 we're going to use the Q and A to make sure we
13 answer any technical questions about these
14 presentations, then open up to general commentary
15 on the topics supplied.

16 MR. BOZORGCHAMI: Thanks, Mazi, Peter.
17 We also had Ben Davis you had you hand raised
18 earlier on? Do you still want to -- there you
19 go. State your name and your affiliation,
20 please.

21 MR. DAVIS: Ben Davis, California Solar
22 and Storage Association. My question actually
23 was back on Mazi's slide, but it so much relates
24 to this presentation which is the two TDV points
25 credit, I'm hearing two different things if we

1 could have some clarification on. One is that it
2 looks like every -- all the assumptions are for
3 heat pumps, heat pump water heaters, but then
4 also I'm hearing that the Energy Commission is
5 technology agnostic, which makes it sound like
6 solar hot water could also be added for the same
7 TDV. Could you folks just clarify possibly?

8 MR. SHIRAKH: So, the point here is to
9 actually move the market towards heat pump. Now,
10 if the solar hot water can be coupled with the
11 heat pump water heating scheme, the answer is
12 obviously yes. So, that's basically for low
13 rise, the slide that I showed previously.

14 Here for multi-family we haven't really
15 explored that option, but I don't know if Nikhil
16 or Roger have any insights into if solar thermal
17 can be helpful.

18 In general, if you look at -- I mean the
19 HVAC is the problem here more than water heating.
20 So, the solar thermal might help, but it's not
21 going to really, you know, like, you know, the
22 big red you see there related to climate zone 16.
23 It's mostly HVAC dependent. So, I don't know how
24 solar thermal would have, but I'll let Roger or
25 Nikhil.

1 MR. HEDRICK: Yeah. So, this is Roger
2 Hedrick from NORESKO. And, so, the analysis
3 we're looking at here is aimed at possible
4 modifications to the baseline that's used in the
5 performance approach compliance. So, anything
6 like solar thermal or any other kind of thermal
7 storage, those would all be part of the
8 compliance actions that are available in the
9 CBECC-Com software. And some of those things are
10 currently available. There are some thermal
11 storage options available now. Solar has not
12 historically been good in CBECC-com, but we're
13 expecting that it will be added in the future.

14 And, so, then as people add those kind of
15 design features they can potentially get credit
16 and, so, that's the path we expect to be
17 following moving forward, and details and all
18 those options will be worked out as we move
19 along.

20 I also noticed the question coming up had
21 to do with the issue of the hot water. Right
22 now, our -- for residential buildings the fuel
23 type used in the baseline service hot water
24 system is based on what's used in the proposed
25 design. We intentionally ignored that effect.

1 We wanted to focus on the impact of changing the
2 heating -- the space heating type and, so, we're
3 holding the hot water -- we held the hot water
4 systems constant to not confuse the results. But
5 how that baseline will be defined in the future
6 for hot water is to be determined as well, if
7 there will be any change at all.

8 MR. BOZORGCHAMI: Thank you. Peter, do
9 you want to take it on the Q and A?

10 MR. STRAIT: Sure. So Nehimaih asks, "As
11 a practical matter gas and oil heating in climate
12 zone 16 is going to be performed by propane which
13 results in health risk and danger near your high
14 snow loads. Were those addressed in NORESKO's
15 analysis?"

16 MR. HEDRICK: No.

17 MR. STRAIT: Brian Finn asks, "What
18 central heat pump efficiency values were used in
19 these iterations and have they included the
20 reduced efficiencies from current manufacturers?"
21 I'm not sure what's meant by reduced
22 efficiencies.

23 MR. SHIRAKH: So, just one second. Let
24 me address a little bit more on Nehimaih's
25 question, and then we can go back to this.

1 So, yeah, we were struggling with climate
2 zone 16 to come up with a heat pump baseline and
3 so we're basically turning every stone. And so,
4 the choices that you see here, there's basically
5 two. There's one to couple the heat pump
6 technology with triple pane windows, which may or
7 may not be a feasible alternative, or we go with
8 gas supplement. And if you don't do that we may
9 not have an option for climate zone 16.

10 So, yeah, it is true that in many cases
11 they use propane, and propane has a different TDV
12 profile than natural gas, so that's an additional
13 complication we need to consider.

14 So, sorry, Peter. Can you go back to the
15 other question?

16 MR. STRAIT: No worries. Actually, Brian
17 Finn was able to clarify what they were referring
18 to. So, two equipment suppliers, Nile and Cul-
19 Mac, reduced their stated efficiencies for their
20 equipment by 30 percent -- or by up to 30 percent
21 across all source temperatures in April, 2020.
22 So, were those central heat pump efficiency
23 values used in our iterations is, in fact, what
24 they're asking.

25 MR. HEDRICK: So, we're using the federal

1 minimum efficiency values for whatever capacity
2 is being looked at in this presentation for the
3 high-rise residential as well as the upcoming
4 analysis for nonresidential buildings. So,
5 we're using the federal standards minimum
6 efficiency values in there.

7 MR. KAPUR: I would just like a
8 clarification. You mentioned central heat pump
9 work -- central heat pump already does; is that
10 correct? I just want to clarify.

11 MR. HEDRICK: No.

12 MR. KAPUR: Okay.

13 MR. STRAIT: Pierre Delforge asks, "Can
14 you please clarify your comment by using electric
15 domestic hot water only and would it apply to the
16 mixed fuel baseline too?"

17 MR. HEDRICK: So, right now as I
18 mentioned, the baseline fuel for service hot
19 water heating is based on the fuel used in the
20 proposed system. And when it's electric the
21 baseline gets heat pump hot water heating. When
22 it's fuel, gas or propane, then you get gas
23 storage water heating.

24 Whether that baseline system will be
25 retained in the next -- for the next code cycle

1 has not been determined and, you know, there's no
2 -- we haven't looked at the impact of switching
3 the baseline to electric in all cases, at least
4 not yet, and, so, I really can't say anything
5 definitive about what we'll do in the next code
6 cycle regarding that.

7 MR. BOZORGCHAMI: Thank you, Roger. Sean
8 Armstrong, you had your hand raised and you
9 lowered it. Do you -- are you still okay or
10 should we move along? If not, let's go to the
11 next presentation. I think, Mazi, we're good.
12 We could go to the next presentation.

13 MR. SHIRAKH: Okay. So, if you have any
14 questions we'll still have opportunity, and, so,
15 the next up is heat pump baselines for selected
16 nonresidential buildings, again, by NORESCO.
17 Thank you.

18 MR. HEDRICK: Okay. Thanks, Mazi.
19 Thanks, Payam. This is Roger Hedrick from
20 NORESCO. I'm a principal engineer. So, I'll be
21 looking at the impact of possible changes to the
22 ACM baseline for nonresidential buildings.

23 So, what we wanted to do here, our
24 objectives were to identify, ideally, heat pump
25 or other electric HVAC systems for use in the

1 2022 baselines under the ACM. And we wanted to
2 evaluate the performance of those options
3 relative to the current baseline which used gas
4 heat.

5 Our expectation going into this was that
6 the switch to electric heat would increase TDV
7 consumption, and so we were concerned about
8 identifying options that might mitigate that
9 effect.

10 We wanted to identify systems that have
11 lower TDV consumption, but with only a minimal
12 increase in stringency. So, we don't want a huge
13 reduction in TDV consumption because that would
14 have a dramatic increase in stringency that was
15 undesirable or hard to cost justify. But we did
16 want to reduce TDV consumption because if we
17 switched to a baseline that had higher TDV
18 consumption, you're talking decrease in
19 stringency and we didn't want that.

20 So, the results that I'm going to show in
21 the slides coming up, I'm really only showing the
22 results for the systems where we were close to
23 the TDV consumption at the baseline, and I'm
24 excluding any system options that had large
25 changes.

1 We used a number of different CEC
2 prototypes. These are three office variants,
3 small, medium and large. I'll give you a little
4 bit of a description of these as I go through the
5 slides coming up.

6 There are three variants on retail
7 buildings, small, medium and large, a small
8 restaurant, a small school, meaning an elementary
9 school type of building, and then a
10 nonrefrigerated warehouse.

11 As with the high-rise residential case
12 analysis, we are leaving the domestic --
13 service/domestic hot water systems constant
14 throughout. In most cases these buildings have
15 electric baseline hot water systems anyway, so
16 we're not changing those. In some cases, the
17 restaurant for example, they get a gas baseline
18 normally, but we are leaving them unchanged so
19 we're not going to see any effect of service hot
20 water in here.

21 We did adjust the performance of -- where
22 we have similar types of cooling to what's in the
23 baseline we adjusted the performance of the
24 cooling in the proposed case to match that in the
25 baseline case, so we're attempting to take the

1 effects of any cooling impact out of this
2 analysis.

3 However, in some cases there may be
4 differences in the federal minimum efficiency for
5 the cooling side of a heat pump system relative
6 to an air conditioning system. We will need to
7 be looking at that in the future, and we haven't
8 addressed it in what we've done so far.

9 We've also adjusted the fan performance
10 to match the baseline where there's some more
11 types of systems, and, so, we're seeing the
12 effects of heating only for similar system types.
13 Where we're changing the system type
14 dramatically, then there are other effects that
15 will be showing up as well, but that's just how
16 -- that's the nature of the beast.

17 So, for the small office building, this
18 is a single-story approximately 5,000 square foot
19 office, this uses a series of single zone rooftop
20 systems with gas furnace heat in the baseline.
21 And, so, we looked at various heat pump options
22 with constant volume or variable volume fans, and
23 then with electric or gas supplemental heat. And
24 we also looked at a variable refrigerant closed
25 system with a dedicated outdoor air system.

1 For the medium office the baseline is a
2 package VAV rooftop system, but with -- the
3 heating is going to heat boxes as reheat coils in
4 the VAV boxes in the different zones. Those are
5 hot water reheat coils fed by a gas boiler.

6 And, so, we looked at replacing that hot
7 water reheat with either -- with electric
8 resistance coils, electric resistance coils with
9 parallel fan boxes. We looked at a heat pump
10 boiler to provide hot water for the reheat coils,
11 and then a VRF system as well as a water source
12 heat pump system with an electric boiler. Both
13 the VRF and water source heat pump systems
14 included DOAS.

15 And then for the large office building,
16 this is built up VAV systems with chill system,
17 chiller, electric chillers, and then hot water
18 reheat with gas boilers. Again, we looked at VAV
19 systems with electric reheat, electric reheat
20 with parallel fan boxes, a heat pump boiler and
21 then a water source heat pump system for this
22 building as well.

23 For the retail buildings we have a small
24 -- oh, I forgot to mention, so, the medium office
25 is a three-story office building that's about

1 50,000 square feet. The large office is 12
2 stories that's about 250,000 square feet, and so
3 those, I think cover the range of buildings
4 pretty well for offices.

5 The small retail is essentially a strip
6 mall kind of a building. It actually includes
7 four units, four separate stores. One is twice
8 as large as the other three. And the baseline is
9 a mix of single zone and single zone VAV rooftop
10 units. When you get to a certain capacity, the
11 baseline switches from constant volume fans to
12 variable volume fans. And, so, the large store
13 gets a variable volume fan, the small ones get
14 constant volumes. They all have gas furnace for
15 heat.

16 For medium retail this is more of a
17 Target kind of a store, so it's a standalone
18 store. It's a larger, you know, much larger than
19 the small retail, but it's not into the big box
20 kind of a range. Again, this is a mix of single
21 zone variable -- constant volume and variable
22 volume single zone rooftop units with gas furnace
23 heat, again, depending on the size of the
24 particular zone.

25 And then the large retail is getting more

1 into the big box store kind of a situation, and
2 these have -- all the zones in this building have
3 variable volume rooftop single zone units, again,
4 with gas heat.

5 And for all three of these retail stores
6 we looked at variations on single-zone heat pump
7 systems with constant volume or variable volume
8 fans with electric or gas supplemental heat. So,
9 that was the basis of what we compared there.

10 And we also looked at a small restaurant.
11 This has variable volume rooftop units serving
12 the kitchen and a constant volume fans for in the
13 seating area. Same kind of alternatives that we
14 looked at for the retail.

15 The small school has mostly constant
16 volume single zone units serving the classrooms
17 in most zones, but the gymnasium multipurpose
18 room has a variable volume system. And we looked
19 at the same kinds of single zone options there,
20 but we also looked at package VAV with electric
21 reheat options, VRF system or a water source heat
22 pump system.

23 And then for the warehouse, the
24 nonrefrigerated warehouse, the baseline here is a
25 single zone VAV system, not VAV, that serves an

1 office area but then just heating ventilating
2 systems that serve the storage areas. Again,
3 these all have gas furnace type heating.

4 Systems we look at here, were there are
5 heat pumps, but in storage areas there is no
6 cooling capacity, so it's just heat pump heat
7 only in the storage areas, but we do have the
8 cooling enabled for the office.

9 So, going to results, what you're going
10 to see here is actually -- so this is the small
11 office, so I didn't get into, so I guess they
12 will be changed to a straight single zone heat
13 pump case as well as a single zone heat pump with
14 gas supplemental heat. The red bars here show
15 the electric supplemental heat case, and as you
16 can see, as with the residential we see negative
17 TDV effects the higher the TDV consumption in
18 several climate zones, while some climate zones
19 actually show positive savings. But if we switch
20 to gas supplemental heat, then we get to positive
21 savings in all zones, all climate zones. So,
22 that's sort of our neutral case there.

23 Medium office, we don't really have a
24 good heat pump option for this. VRF systems and
25 water source heat pump systems, which are the

1 sort of lavender bar at the right-hand side of
2 each climate zone and the orange bar at the left,
3 they actually are fairly poor performers and have
4 fairly dramatic increases in TDV consumption.
5 The water source heat pump that's mostly or
6 partially viewed to an issue with how Energy
7 Plus, which is our simulation engine, models
8 those.

9 But that's the reality of our modeling
10 results which, you know, we're looking at
11 changing the baseline for modeling analysis, and,
12 so, we can't really use that as a baseline.

13 Our electric heat, the heat options, all
14 showed negative TDV performance in every climate
15 zone, and, so, we don't really have a good
16 electric heat option here for this medium office.

17 Similarly, when we go to -- sorry -- when
18 we go to the large office we see similar results
19 with the exception that in climate zone 8 our
20 electric reheat or electric reheat with parallel
21 fan boxes we do show a positive savings but
22 that's a quite small amount and for every other
23 climate zone it's negative.

24 When we go to the retail we, again, show
25 fairly good savings for every climate zone except

1 1, 16 and 14 for the single zone heat pump with
2 supplemental heat.

3 Now, the baseline has mix of constant
4 volume and variable volume, and, so, we did a
5 case where we mixed -- when I say single zone
6 mixed I am -- that's a mix of some constant
7 volume and some variable volume as would be
8 represented in the baselines. So, where the
9 baseline gets VAV, so does this proposed case.
10 Where the baseline gets constant volume, we get
11 constant volume.

12 So, this has surprisingly good TDV
13 results. So, only in your cooler climates do we
14 see negative effects with gas supplemental heat
15 or electric supplemental heat. Changing that to
16 gas supplemental heat gets positive savings in
17 every climate zone.

18 For the medium retail, again, this is a
19 mixed VAV and constant volume, and so we see
20 similar results. With the electric supplemental
21 heat, we show only a very small negative in
22 climate zone 1; climate zone 14 is positive, but
23 climate zone 16 is still quite negative. But,
24 again, if we switch to gas supplemental heat we
25 can get positive in every climate zone.

1 And then for the large retail we see more
2 of a mix between different climate zones and, so
3 -- and even with gas supplemental heat we've
4 shown negative results in multiple climate zones,
5 so this is a little bit more difficult. This is
6 all variable volume and, so, you know the
7 performance is just slightly -- it's going to
8 vary in the constant volume cases, and, so, we do
9 see some negative results here.

10 For the restaurant we see positive TDV
11 savings for the electric supplemental heat
12 everywhere except 16, and, again, gas
13 supplemental heat corrects that.

14 The small school, we see some negative
15 results with electric supplemental heat in one
16 and 16 as well as on five. Gas supplemental heat
17 gets you positive savings everywhere except
18 climate zone one, and we're not quite sure why
19 that happens here because it does show positive
20 in 16 which is in every other case the more
21 difficult case.

22 And then for the warehouse the heating
23 and ventilating units we don't have a direct heat
24 pump alternative to those. You know, we're using
25 heat pump, you know, rooftop type units. And,

1 so, when we're looking at the constant volume
2 case we show negative TDV savings -- sorry,
3 electric supplemental heat we show negative TDV
4 savings in every climate zone. Switching to gas
5 supplemental heat mostly gets us positive except
6 in climate zone 15, which given the relatively
7 low cooling, heating role there it's a little bit
8 surprising to me, but that's the way it is.

9 And, so, our conclusion from all this is
10 that for cases where the baseline uses gas
11 furnace heat, switching to a heat pump baseline
12 appears to be viable and meet our criteria of not
13 reducing stringency.

14 We will probably need to do additional
15 investigation to identify additional options to
16 avoid -- to address the cases where we are
17 getting are higher TDV consumption. Gas
18 supplemental heat will mostly do that, but may or
19 not be a desirable option for some of the reasons
20 that have been mentioned by various commentators
21 already. So, we may want to look at additional
22 envelope stringency or do we want to go to
23 climate-zone specific requirements for our
24 baselines.

25 For the two office buildings where we're

1 using hot water heat, we don't really see a good
2 electric alternative at this point, and we still
3 need to do some further evaluations to make sure
4 that we will not end up with a penalty on the
5 cooling side due to the federal minimum
6 efficiency requirements that they find can't be
7 more stringent than those federal minimum
8 efficiency levels.

9 And then we also will be looking at the
10 possible inclusion of dedicated outdoor air
11 systems as a further alternative to some of these
12 cases. We've done some very preliminary looks at
13 that, and that may offer some savings that will
14 allow us to offset the cases where we have higher
15 TDV consumption.

16 And so that is the end of my
17 presentation. I'd be happy to answer questions.

18 MR. SHIRAKH: Roger, this is Mazi. You
19 know, for your medium and large office, that
20 seems to be the more problematic areas, did you
21 consider gas supplement for those occupancies or
22 is it not an option?

23 MR. HEDRICK: Well, we don't really have
24 good heat pump options for those because, you
25 know, with a heat pump you have to have a place

1 to reject the heat to the -- reject the cold to
2 the outside, and that's not -- we don't really
3 see that as particularly viable for those
4 buildings, so we don't have like a normal air
5 sort of heat pump option that we looked at. So,
6 we're trying to identify ways to generate
7 electrically -- generate the reheat electrically,
8 whether that's through heating the water, the
9 reheat water with an electric-type boiler or
10 direct electric resistance coils in the boxes.
11 And, so, the heat pumps are just problematic in
12 those kinds of buildings.

13 MR. SHIRAKH: Thank you for that
14 explanation.

15 MR. HEDRICK: Sure.

16 MR. SHIRAKH: Are there any other
17 questions, raised hands?

18 MR. BOZORGCHAMI: Yeah, we have a couple
19 of questions here. One question is from Brian
20 Finn. "Was 140 or 150 supply temperature used?"
21 And he's saying that 180 is not going to work, so
22 --

23 MR. HEDRICK: Right. So, I think we're
24 talking about when I was looking at the heat pump
25 boiler case, and we used a I believe a 130 or 135

1 hot water supply temperature in that case. I
2 hope that's what you're referring to.

3 MR. STRAIT: Sorry, I was muted. I can
4 pick up from here. Did you have another --
5 Payam, do you have more to say to Brian Finn?

6 MR. BOZORGCHAMI: No, no. I was going to
7 go to Ted Tiffany's question.

8 MR. STRAIT: Okay. I can pick up. Ted
9 Tiffany asks, "Can we go --" Actually, it's
10 addressed to Roger. "Can we go into more details
11 on limitations for modeling the heat pump boiler
12 and the assumed coefficient performance and the
13 simulation results, or is the limitation modeling
14 just an electric resistance boiler at 1.0 COV?"

15 MR. HEDRICK: So, we did try to model a
16 heat pump boiler, and the -- you know, we have a
17 method to do that. I'm not entirely comfortable
18 with that method. It actually is using an
19 EnergyPlus heat pump water heating object or
20 series of objects. And, so, you know, I have a
21 lot of questions about the reality of how that
22 was modeled. You know, this is sort of -- we're
23 going to be switching to a newer version of
24 EnergyPlus in future versions of CBECC-Com, and
25 in that newer version of EnergyPlus there is a

1 new heat pump central plant object, and so we
2 will need to be looking at that object in the
3 future as well, and, so, -- you know, so I think
4 that the heat pump boiler needs more
5 investigation and more checking against reality
6 of how such a heat pump central system would be
7 designed and installed. So, yeah, that's part of
8 our future work I think. Is that handwavy enough
9 for you, I hope?

10 MR. STRAIT: Tom Kabat asks, "What are
11 the heat pump performance characteristics for
12 these cases that coefficient performance, heating
13 seasonal performance factor, et cetera? What is
14 the federal minimum standard? Do you or can you
15 also look at modern available economic heat pumps
16 that designers would tend to select?"

17 MR. HEDRICK: Right. So, we have a
18 couple of limitations for -- as I mentioned
19 previously -- for use in the baseline we're
20 limited to the federal minimum efficiency levels,
21 and so that's -- for the smaller units that's
22 generally stated as an HSPF, and then we have to
23 -- to actually model that we have to convert it
24 to a COP at a rated condition, so that's a
25 single-point COP, and then it's combined with the

1 performance curves that are built into CBECC-Com.

2 An issue has, you know -- CBECC-Com has
3 prescribed performance curves for most equipment,
4 and the validity of those performance curves for
5 modern heat pump equipment has been questioned.
6 I think it's a valid question, but it's also a
7 larger effort to try and come up with replacement
8 curves because those need substantial backup to
9 make sure they're valid and to make sure that we
10 are treating all classes of equipment fairly.

11 So, it's a complicated question, but the
12 performance of the heat pumps is represented by a
13 COP that is calculated based off of the federal
14 minimum HSPF and the CBECC prescribed heat pump
15 curves.

16 MR. STRAIT: Randall Higa asks, "For the
17 water source heat pump case is an electric boiler
18 used to provide heat to the loop, and, if so, is
19 that boiler electric resistance or heat pump?"

20 MR. HEDRICK: The answer is yes, and,
21 yes, it is electric resistance. From previous
22 analyses that we've done we know that that boiler
23 actually runs very little. In general, for these
24 larger office buildings because you have many
25 zones that are cooling almost all the time a lot

1 of that heat can be provided by -- you know, as
2 the heat is removed from those cooling zones and
3 then can be used to keep the loop warm enough.
4 So, the boiler doesn't run very much. So, when
5 we looked at gas boiler versus electric boilers
6 in the past it's virtually indistinguishable, so
7 --

8 MR. STRAIT: Alice Sung actually has a
9 couple of questions related to schools. First,
10 she asks, "For small schools did you model heat
11 pumps with electric backup instead of gas
12 supplementary heat?"

13 MR. HEDRICK: Yes. So, we have both
14 electric resistance supplemental heat as well as
15 gas supplemental heat cases. So, the school --
16 so, the orange bars here are electric
17 supplemental heat and the blue are gas
18 supplemental heat.

19 And, so, you can see in most climate
20 zones here for the school the electric
21 supplemental heat is -- works just fine.

22 MR. STRAIT: She also asks, "Have you
23 modeled comprehensive high schools with larger
24 centralized systems on some buildings, or
25 community colleges with a large central plant?"

1 MR. HEDRICK: No. So, you know, remember
2 that our purpose here is to identify potential
3 changes to the ACM and particularly -- and so
4 we're sort of assuming that the system math
5 that's built into the ACM that's used to
6 determine for a given building what the baseline
7 will be. The ACM determines the baseline system
8 type based on building floor area, number of
9 stories, and in some cases the building type, so,
10 for example, the warehouse gets a special case.

11 So, if you take one of those school
12 buildings and they get large enough or tall
13 enough where they would switch over to central
14 plant type systems, then I would expect that you
15 would run into the same kinds of issues that we
16 were seeing when we were looking at the larger
17 office buildings, medium and large office
18 buildings.

19 So, any type of central plant baseline
20 case I think will run into the same difficulty
21 with going to an electric baseline that we saw
22 there. If they are small enough or low enough
23 where we can put rooftop unit or heat pump
24 systems on the roof, then that would be my
25 expectations that those will work similarly well

1 to some of these other schools. I mean,
2 thermionically there is no significant
3 differences.

4 MR. STRAIT: Shaojie Wang asks, "What are
5 the EER and COP of water to air indoor units for
6 water source heat pump systems?"

7 MR. HEDRICK: I don't recall offhand. I
8 would have to dig back into that. I don't know
9 the answer to that.

10 MR. STRAIT: So, if there are technical
11 details like that that are in the proposal
12 materials, then I think rather than -- since we
13 have more presentations, these are available if
14 people download these reports, correct?

15 MR. HEDRICK: Well, we haven't put
16 together a report as yet, so there's nothing
17 beyond what I've shown in this presentation to
18 download yet. So, all that kind of -- you know,
19 as I've said, there's more work for us to do, and
20 so when we get to, you know, a complete analysis,
21 then, yeah, there will be a report that they can
22 download.

23 I think the issue with the water source
24 heat pumps, though, is not the details of the
25 efficiency of the units that we're modeling, but

1 rather, the way EnergyPlus models water source
2 heat pumps relative to air source, heat pumps or
3 air source cooling -- DX cooling coils, and
4 there's really nothing we can do about that.
5 It's an EnergyPlus issue, and unfortunately I
6 just don't have a good answer for the water
7 source heat pump case.

8 MR. STRAIT: Okay. That's all the
9 questions at the moment other than a question
10 about what time we're breaking for lunch.

11 MR. SHIRAKH: So, this is Mazi. We're
12 coming up to 11:00 o'clock, and I suggest -- it's
13 11:10 actually. I suggest we go to our next
14 segment. We're probably going to go to about
15 12:30 or so and see, you know, what kind of
16 progress we're making. And then I've got to make
17 the decision if you want to halt for about an
18 hour.

19 So, next up I think is NORESKO, John
20 Arent, and he's going to be talking about the
21 cost of fillable tanks and battery storage
22 systems. Take it away, John. You're muted,
23 John. Still muted. Can't hear you. No can
24 hear.

25 MR. STRAIT: It looks like you're not

1 muted according to the software, but we're still
2 not getting any audio from you.

3 MR. SHIRAKH: Your own mike may be muted.

4 MR. ARENT: How about now?

5 MR. SHIRAKH: Oh, good, loud and clear.

6 Thank you.

7 MR. ARENT: Okay.

8 MR. SHIRAKH: Take it away.

9 MR. ARENT: Sorry about that, everyone.

10 Well, thank you. My name is John Arent, and I'm
11 a mechanical engineer at NORESCO, and I'm working
12 with the team, and my role for this project is to
13 look at system costs for both commercial and
14 fillable tank systems as well as on-site battery
15 storage systems.

16 So, I don't know, Mazi, whether you or
17 Payam can assist with bringing up the
18 presentation or whether I can just take control
19 myself.

20 MR. BOZORGCHAMI: John, I think it would
21 be best if you take control and run it. If you
22 need assistance, I can do it from here.

23 MR. ARENT: Okay. Payam, can you see the
24 screen?

25 MR. BOZORGCHAMI: Yes, we can, but it's

1 in the -- it's not in presentation mode. It's in
2 formatting mode.

3 MR. ARENT: Okay. All right. How about
4 now?

5 MR. BOZORGCHAMI: Perfect. Good.

6 MR. ARENT: Now I lost it. Okay.

7 MR. BOZORGCHAMI: Would you like me to
8 bring it up?

9 MR. ARENT: Sure. I saw it for a second
10 and then it went away. Sorry.

11 MR. BOZORGCHAMI: Here we go. I have it.
12 I'll just share. Here you go. Can you see my
13 screen?

14 MR. ARENT: All right. It was the delay,
15 sorry about that. Okay.

16 So, as I mentioned, we're looking at
17 costs for commercial fillable tanks systems as
18 well as storage, meaning battery storage systems,
19 so, onsite systems for commercial buildings.

20 So, we're looking at -- the focus of this
21 presentation will be on the first costs, but we
22 are, of course, looking at any maintenance costs
23 and replacement costs as well for these systems.

24 Our next slide. Thank you.

25 The objectives are to determine the costs

1 for inclusion in the economic analyses and the
2 energy savings analyses that are being performed
3 by E3 for this project.

4 For fillable tank systems we're looking
5 at installation relative to the array size, so
6 we're looking at costs. One way they're often
7 expressed is in terms of dollars per watt. And
8 for the purposes of this presentation, when I
9 refer to PV systems I'm referring to effectively
10 the entire installation, so not just the modules
11 themselves.

12 And then for battery systems we're
13 looking at the installation costs as well as --
14 for different capacity storage systems as well as
15 the duration. So, we have effectively a 30-year
16 lifecycle that we're looking at for this
17 analysis.

18 So, for battery systems we're assuming
19 that there would be potentially two replacements
20 over the expected life, so, one at year 10 and
21 one at year 20.

22 So, for both these systems the costs are
23 gradually coming down. So, we want to look at
24 both the current costs which we've developed as
25 well as cost trends over time.

1 Next slide.

2 So, the methodology to get representative
3 costs, we looked at -- contacted over 50 of the
4 top installing contracting firms with commercial
5 projects in California. We contacted MEP and
6 sustainability firms that have experience working
7 with PV projects on their buildings. We also
8 contacted facility managers of large corporations
9 to find out what their perspective was on system
10 costs. And we distributed a cost survey to
11 respondents for to obtain PV and commercial
12 storage prices.

13 We also did -- along with this there's a
14 large body of collected data, the NEM, the net
15 energy metering interconnected data set is
16 available publicly and we've parsed through that
17 and sorted through to determine current prices as
18 well as price trends for PV.

19 For storage we contacted battery storage
20 manufacturers and turnkey providers, and also
21 reviewed sources of existing data, both for
22 California as well as nationally.

23 Next slide.

24 So, I won't stay long on this slide.
25 Hopefully, it will be available. This will be a

1 lot to read. But these are some of the sources
2 we've used. There's a lot of good work done by
3 both LBNL and NREL, the national labs on pricing
4 and cost trends. They've developed kind of a
5 bottom-up analysis as well as trying to unpack
6 the costs and understand what are the cost
7 drivers. So, we've been primarily getting top-
8 down costs to supplement the literature view
9 that's out there.

10 For battery systems, similarly, we're
11 getting -- looking at cost data that's available
12 from literature, but we're getting -- placing a
13 greater emphasis on the locally collected cost
14 data for projects in California.

15 Next slide.

16 So, this one is a summary with a
17 correlation of the costs that we have to date.
18 So, these were the combined sources that I
19 mentioned above. And then for the NEM data what
20 we did was we sorted through the data, we
21 filtered out, for example, project tracking PV or
22 projects that don't have roof mounted PV, and so
23 forth, so that we could get a fair comparison.
24 And with that resulting data we took three or
25 four different size bins of system capacity on

1 the X axis and determined median costs. So,
2 that's added to -- it's a supplement to the cost
3 data that we gathered directly from sources in
4 California for this year.

5 The other thing you'll notice, the third
6 kind of, well, bullet on the left is that -- so,
7 what we did was we wanted to gather costs that
8 are relatively recent costs. 2020 is still going
9 on. So, we have data beginning 2018 through 2020
10 that is represented on this summary graph or
11 chart. And what we've done is we've taken
12 projections of future price drops in PV and
13 installed costs and applied those to the 2018 and
14 2023 costs to determine what the cost would look
15 like in 2023, January 1st, when this regulation
16 and proposed change would be adopted potentially
17 by the Commission.

18 One minor note. We haven't yet quite
19 applied an inflation to these numbers, so we may
20 adjust slightly, but the shape of the current
21 should still fly. The quite obvious thing if you
22 look at it is that for very small projects, say
23 below 50 kilowatts of fillable tank panel, the
24 costs per watt are much higher, and that's
25 somewhat of an expected trend, but it's quite a

1 sharp increase from the data we have, below 50
2 kilowatts, so it's something we will looking at a
3 little bit more closely, but we feel strongly
4 that this is a good set of data that represents
5 what current costs actually are for these
6 systems.

7 Next slide.

8 So, there was a mention earlier, I'll get
9 to the question of the batteries and the
10 difference between an existing building and new
11 construction costs.

12 For PV we're trying to determine that
13 distance as well, and there's limited direct
14 information out there available. But one thing
15 we found is that there are some modest but
16 significant customer acquisition costs, so sales
17 and marketing related efforts of 18 cents per
18 watt for commercial projects that would mostly be
19 avoided with new construction projects.

20 Interestingly, the residential acquisition costs
21 are quite high, or can be. They're reported as
22 high as 40 to 60 cents per watt for those.

23 Other soft costs include permitting
24 inspection and interconnection, procurement and
25 construction. There's also costs with shipment

1 and delivery, getting the panels transferred to
2 the site. So, soft costs are -- even for
3 commercial projects can be -- they're stated as
4 approximately 50 percent, sometimes as high as 60
5 percent, of the total project costs. Those costs
6 are coming down along with everything else, but
7 it shows that there's a much lower importance on
8 the cost of the actual modules which tend to be
9 currently approximately 40 to 45, 50 cents per
10 watt on the high side for the PV modules.

11 So, it's important moving forward looking
12 to reduce these costs obviously to reduce all of
13 the soft costs, the balance of system costs.
14 We're looking into this a little more closely to
15 see if new construction projects can avoid some
16 of the balance of system costs if there's
17 infrastructure already in place.

18 Next slide.

19 So, this one, the third data field on
20 this graph is a little hard to see probably, but
21 basically what we did there were different
22 forecasts scenarios that NREL has for estimating
23 drop in price, and again, a reminder that this is
24 -- we're looking at the total installed cost, not
25 just the drop in the PV module itself.

1 So, they're forecasting drop installed
2 cost to 2023 from 2019 between three, 15 and 20
3 percent. What this analysis is deemed as
4 somewhat conservative. It takes the conservative
5 reduction, which is the lowest reduction, and
6 then the moderate scenario and then averages them
7 and uses that to develop -- just to project
8 outwards towards 2023.

9 So, again, this exercise is just to
10 project costs to the date of adoption. For a lot
11 of technologies that are a little more mature
12 where the price is less fluctuating, such as,
13 say, insulation, we don't really worry too much
14 about forecasting that a few years. But in this
15 case even a few years could have a significant
16 difference in the prices.

17 Next slide.

18 For further study, these small commercial
19 systems, as I mentioned, seem to have a much
20 higher cost than larger systems. We want to make
21 sure we're characterizing those appropriately,
22 and as I mentioned already, we're looking to
23 further differentiate between new construction,
24 retrofit prices. Some of the costs that we go
25 through the surveys were actually new

1 construction costs, but a lot of the data that's
2 available from them is existing buildings. So,
3 we want to make sure we're not conflating the two
4 and have those appropriately -- that any kind of
5 adjustments are "unpacked" or accounted for.

6 Next slide. So, for battery storage this
7 is commercial batteries, and this is the I would
8 say mediumish to large batteries as far as being
9 onsite commercial batteries. So, these are costs
10 from our discussions with battery storage
11 manufacturers that have projects in California,
12 as well as some MEP firms that have had done
13 battery projects in the past.

14 And what we found is that the cost range
15 is \$600 to \$800 per kilowatt hour, that's
16 installed. And this is for systems on the lower
17 side of the -- smaller side is going to have a
18 higher installed cost per kilowatt hour, so on
19 the 800 end, and then it goes down to about 600.

20 You'll see that two points at -- a couple
21 other quick notes. The two data points at 2,000-
22 kilowatt hours capacity are from another study,
23 Lazard, so that shows a range of I think there
24 was \$380 or \$377 to \$830 per kilowatt hour. So,
25 there's quite a wide range. These are also

1 decreasing in cost over time.

2 The other two notes is that the cost of
3 four-hour storage is generally a little bit lower
4 than the two-hour storage, which is pretty common
5 right now because of its alignment with the South
6 Generation Incentive Program, but as I mentioned
7 before, the expected life we're assuming is 10
8 years, maybe a little bit conservative. Many of
9 these systems are warranted for 10 years, so it
10 could last longer, but they might have a
11 decreasing effectiveness.

12 The replacement cost should be at least
13 30 percent lower. There's some soft costs that
14 are avoided as well as infrastructure costs on
15 the replacement.

16 And then the battery itself is projected
17 to drop by 30 percent cost at year 10. So, those
18 two factors together result in a replacement cost
19 at year 10 that's about 50 percent lower than the
20 first cost, and I have that on the subsequent
21 slide.

22 Next slide, please.

23 Yeah. So, those were for systems that
24 have a capacity of generally 100 kilowatts or
25 greater, so 200 to 400 kilowatt hours. The

1 footprint of these, just a couple design notes,
2 takes up roughly the size of a whole parking
3 space. These systems because of some aspect of
4 the fire code, the systems are typically
5 installed outdoors, and rooftop is possible, but
6 because of the weight this would have to
7 certainly be accommodated for.

8 And then, as I mentioned just now, the
9 systems are available typically in a one to four-
10 hour discharge duration period. So, the systems
11 that have a -- can discharge up to four hours are
12 lower per kilowatt in cost than the systems that
13 have a two-hour discharge.

14 Next slide.

15 This shows -- this is a graph from NREL.
16 It shows long-term battery storage projected
17 costs, and it's normalized so it's one at I
18 believe 2018. And the study shows a pretty --
19 especially through 2030 a pretty significant drop
20 in prices for these systems, between anywhere
21 from 11 percent to 45 percent to on the low --
22 the low, it's funny, is the aggressive one. The
23 low costs are the most aggressive forecast, would
24 have a 67 percent drop by 2030. So, what we are
25 looking at right now is the average of the

1 conservative and the moderate scenarios right now
2 as far as forecasted.

3 So, recall that this doesn't affect the
4 first cost, but it would affect the replacement
5 cost, so we want to have a reasonable value for
6 that.

7 Next slide.

8 So, the other storage costs were for
9 fairly large systems, reasonably large systems,
10 but the Energy Commission is looking at
11 incorporating the possible storage requirements
12 to supplement the PV to limit exports and looking
13 at that for small buildings as well.

14 So, for small buildings there's a little
15 bit more limited options, but what we did was we
16 gathered some cost data for the Tesla power wall.
17 There is at least one other system similar that
18 is available on the market, but the power wall is
19 one of the more common ones.

20 The leftmost column you'll see different
21 quantity numbers, so this just illustrates that
22 with the -- there are some kind of fixed costs
23 for getting an installation in place. There's
24 going to be a little bit of economies of scale as
25 you increase the quantity of these.

1 So, the last -- so we're getting about
2 similar estimates initially \$780, \$800 dollars
3 per kilowatt hours, similar cost to the small
4 more commercial storage batteries of the 100-
5 kilowatt size. But we also got a recent estimate
6 for a Davis residence of \$610 per kilowatt hour
7 installed. So, these are a little bit more
8 common on the residential side, so we'll have to
9 see how the commercial costs play out for these
10 systems.

11 Next slide.

12 So, these are the preliminary
13 recommendations. I think we feel pretty good
14 about where we've ended up. We're looking on the
15 top small chart there for the fillable tank
16 system costs we're looking closely at the smaller
17 systems because a lot of the -- you know, the
18 small office, the small school, standalone
19 retail, these may end up having -- requiring
20 small systems, so we want to make sure we have
21 the costs represented appropriately. So, say
22 that 10 to 20 kilowatt-size system, currently we
23 have it at 2.84 per watt to up to \$3.16 per watt.

24 Some of the NEM data that we gathered is
25 a little bit higher than some of the other

1 sources, so we're also trying to make sure we
2 fully understand why that is. But these are the
3 costs that we have, and as you can see, for the
4 large systems the cost comes down quite a bit
5 because of the fixed costs get spread out over
6 the system.

7 For the battery installed costs, as I
8 mentioned, there's two replacement costs, so for
9 the smaller system just using the forecasted
10 values and as well as the elimination of some
11 soft costs, we're looking at a reduction of a
12 little over 50 percent by year 10 and a little
13 bit further reduction for the second replacement
14 by year 20.

15 So, for the large system of over 100 kW
16 that has a first cost of \$600 per kilowatt hour
17 we're looking at a replacement cost of 284 year
18 ten and at year 20, \$200 -- sorry, \$258 dollars
19 per kilowatt hour.

20 The numbers for the battery storage, they
21 are a little bit higher than some published
22 estimates, but these are -- we've gotten these
23 numbers from at least three different sources and
24 types of sources per actual cost within
25 California, so this is what we have right now for

1 the storage costs.

2 So, with respect to a gentleman had a
3 question on new construction cost versus
4 retrofit, I think there could be some elimination
5 of some of the soft costs on the new construction
6 project, but that's something we want to kind of
7 further develop because there's little direct
8 data on that so we would need to have some direct
9 data to be able to claim a further reduction in
10 costs.

11 Next slide, please.

12 So, the next steps are to collect
13 feedback from the attendees here or those who
14 have comments who have looked at our initial
15 recommendations. Refine the costs for small
16 systems, particularly below 25 kilowatts and
17 investigate the cost differential between new
18 construction and retrofits. There's obviously
19 more data for existing buildings, but we have
20 some information for PV and we want to get a
21 little bit more information to make sure we've
22 characterized that differential appropriately.

23 Next slide.

24 Acknowledging the team, Roger Hedrick,
25 Silas Taylor and Rahul Athalye. And also, just

1 to mention that we're working with and for E3 who
2 is doing a lot of the high-powered analysis to
3 determine how these systems work, how they save
4 energy, how they interact with the grid and how
5 the exports and valuation of those exports can be
6 incorporated into the analysis.

7 Thank you, and I'll take any questions
8 now or afterwards.

9 MR. SHIRAKH: So, this is Mazi. Thank
10 you, John, that was a really good presentation.

11 So, any questions for John? I should
12 have noted that the data that he's providing here
13 will feed directly into E3's analysis that's just
14 coming up. So, it does impact the benefit cost
15 of PV and battery storage systems. So, it's
16 important for us to have a solid information
17 here, and I think John has done a great job.

18 Any questions for John?

19 MR. STRAIT: So, we have technical
20 questions and one about cost effectiveness. I'm
21 going to take the cost effectiveness one last.

22 First, Steven Rosenstock asks, "Do the
23 estimated commercial battery installed include
24 the cost of meeting the most current fire code
25 requirements?"

1 MR. ARENT: I believe they do. We
2 haven't like -- as I mentioned, some of the costs
3 we have received should include all of that.
4 These are recent estimates from projects over the
5 last year. We haven't -- as I mentioned, we
6 haven't tried to do what is sometimes referred to
7 as the bottom up analysis where we're trying to
8 cost out each component and build that up into a
9 single estimate, but we're getting overall
10 estimates from a number of sources, so yes, it
11 should include those -- the effective of those
12 regulations.

13 MR. STRAIT: All right. Ben Davis asks,
14 "What assumptions were made about incentive
15 programs. Is it just ITC or SGIP when
16 calculating future system costs?"

17 MR. ARENT: Yeah, good question. So, we
18 don't include the tax credit, nor do we include
19 any generation programs when we're looking at
20 these costs. E3 may have a further comment on
21 that on if or how those play. So, these are just
22 the costs of the systems, themselves absent any
23 incentives.

24 MR. STRAIT: Last, Tom Paine asks,
25 "Nonresidential buildings are commonly not

1 occupied by the building owners. How do you plan
2 to support building owners forced upon solar
3 projects that they cannot benefit from, and what
4 of scenarios where there are multiple building
5 occupants? How do you ensure equitable delivery
6 of on-site generation among occupants?"

7 And if other staff would like to step in
8 on this I'm also happy to speak to this one if
9 need be.

10 MR. SHIRAKH: Go ahead, Peter.

11 MR. STRAIT: So, cost effectiveness in
12 terms of disaggregation on tenancy, I know there
13 are some submetering questions that are raised by
14 how to coordinate that these benefits are
15 delivered to tenants, and, you know, costs and
16 benefits appropriately designed. Overall, we
17 would expect any costs imposed on building owners
18 to be passed on to tenants, obviously, and if
19 we're talking about a slightly larger rent but
20 slightly smaller utility bills, the total package
21 goes down in cost. We're still seeing a cost
22 effectiveness there. That is, it is on the
23 building owner to figure out what the best way of
24 recouping those costs would be and whether that's
25 some sort of cost sharing, there's a lot of

1 options to get there. It's something that we do
2 need to take into account when we're looking at
3 these, but it's not something that we're doing
4 here with this underlying technical information
5 about the technology, itself.

6 So, at the moment we're looking more at
7 what are the feasible and cost-effective levels
8 and how can they be integrated, these kind of
9 accounting side questions of how these benefits
10 accrue to the right individuals we will be
11 looking at, but it's not really going to be the
12 content of this presentation.

13 MR. SHIRAKH: If I may add, that is
14 correct, Peter. Thank you.

15 You know, we look at cost effectiveness
16 from the entire building perspective and in
17 general and how those benefits and costs are
18 distributed amongst the occupants, you know we
19 don't really get involved in that. You know, we
20 currently look to the building owner and the
21 tenants to sort that out. But, you know, it is
22 -- if the system is cost effective at the
23 building level as a benefit/cost ratio than more
24 than one we deem that to be cost effective. And
25 as long as the building that is being constructed

1 complies with those requirements, then the
2 building complies. And the benefits can be
3 distributed to the tenants in many different
4 ways, but that's outside of our purview.

5 So, any other questions or comments on
6 cost?

7 MR. STRAIT: Not directly on -- there's
8 one question, "Am I to understand that PV costs
9 are forecast --" I'm sorry, this is by Tom
10 Conlon. "Am I to understand you are assuming PV
11 costs are forecasted drop by 30 percent over
12 three years and storage costs by 30 percent over
13 10 years?" Then he clarifies, nine percent for
14 PV over three years and 10 percent for storage
15 over 10 years. So, is that correct?

16 MR. ARENT: Yeah. The nine percent was
17 more, I believe -- I might need to double check,
18 but for the PV drop was I think from 2018 to
19 2023. So, what we did was we looked at the price
20 drops here every year between 2018 and 2023. So,
21 in other words, estimates that were received this
22 year provided to us for 2020 estimates were not
23 discounted as much as the 2018. So, there was a
24 small discount for PV, and, yes, the storage was,
25 I believe, about 30 percent by -- they say by

1 year 10, so by 20 -- that would be 2033 if this
2 measure is approved and adopted in the year 2023.

3 MR. STRAIT: Brian Finn asks, "If the
4 interactive benefits or the synergy benefits of
5 having heat pump water heaters, storage and
6 fillable tanks in the same project are
7 incorporated into the financial analysis?"

8 I'm not sure this question makes the most
9 sense. What they're saying is that heat pump
10 water heaters increase the value of storage,
11 which increases the value of the fillable tank
12 system, which increases the value of heat pump
13 water heating, et cetera. So, there's an
14 interactive benefit to having all three of those
15 components. And they're asking how the analysis
16 will incorporate those we call them retrofit
17 questions, but how it accounts for those effects
18 in the financial analysis.

19 MR. ARENT: Yeah. Well, I think it's
20 something we can look into. I don't think we've
21 gotten that far. So, I'm presenting just the
22 costs at this point, so we'll have to see whether
23 having a heat pump water heater will provide some
24 synergies with fillable tanks and storage.

25 MR. SHIRAKH: So, I mean, this question

1 has come up before and, in general, heat pump
2 water heater is part of the building load, just
3 like any other load, and is not really a separate
4 load than all the other loads like lighting, plug
5 loads and all that. So, the PV's and the battery
6 storage must meet all the loads, regardless of
7 where they're coming from for a particular hour.
8 So, TDV accounts for all of that because, you
9 know, we have an hour-for-hour profile of loads
10 for the building and the associated TDV values
11 and how its impact is already basically
12 calculated through the simulation.

13 Any other questions.

14 MR. STRAIT: There's a fairly trick one.
15 We have a question from Alice Sung about
16 analyzing the costs and benefits from the
17 economies of scale are both purchasing for public
18 school districts. That is, instead of costing
19 out one system for solar storage for one small
20 school, aggregating all school sites for an
21 entire district. They say that that kind of
22 aggregation would make sense, so it would be good
23 to see those productions capture the analysis.

24 MR. SHIRAKH: I think that John's
25 analysis actually showed that when you go to

1 larger systems there's a reduction. Go ahead,
2 John.

3 MR. ARENT: Yeah. So, I think that
4 effect would definitely be true. I think if
5 you're talking about kind of applying something
6 district-wise, you know, that could involve a lot
7 of existing buildings, and our focus, as least
8 with this particular measure and analysis is new
9 construction. So, I don't know that there would
10 be the same opportunity for economies of scale in
11 that sense.

12 MR. STRAIT: I would add this. We are
13 making some conservative and "worst" case
14 assumptions about some of these costs because we
15 can show that it works or that it is cost
16 effective in these isolated cases, then obviously
17 when you have an additional benefit of being able
18 to purchase at scale for an additional benefit
19 for interactive effect. You've already made the
20 base case and that only makes it better so --

21 MR. PRICE: Hi, y'all. This is Snuller
22 Price. Can I chime in real quick just to --
23 because a lot of questions are coming up around
24 cost effectiveness, so stay tuned because our
25 next panel, Michael Sonntag and E3, is going to

1 be walking through in a lot of detail for a lot
2 of building types, the cost effectiveness, and a
3 number of these kind of questions are going to
4 come up and be answered.

5 Just a couple off the top that we've
6 already discussed. One I think was mentioned
7 around tax credits, and we do account for the tax
8 credits. Michael will be talking about how we do
9 that. John stated sort of the base and self-
10 cost, and then we're also factoring in benefits
11 such as the tax credit.

12 I just wanted to sort of plug the next
13 call and maybe we should shift some of the cost
14 effectiveness questions until after we talk about
15 or show those results.

16 MR. STRAIT: We can do all this. There's
17 a remaining question here. Ken Jonah asks, "You
18 made reference to the 2014 Friedman article in
19 your slides. Can you say why you used that
20 article?"

21 MR. ARENT: Yeah. So, I think we're
22 looking for to try to tease out the difference
23 between cost of existing buildings and new
24 construction, and there could be several
25 potential reasons why the new construction would

1 be lower, so we're looking at that one as far as
2 some of the customer acquisition costs and trying
3 to identify those for commercial buildings.
4 There's a little bit less information available
5 on commercial as compared to residential PV. So,
6 I think this is an example like, as Peter is
7 mentioning being conservative, so we're trying to
8 get the cost as accurate as we can, but if
9 there's some -- a little bit of unknown in any
10 area, and in this case the question of how costs
11 will vary between retrofits and new construction,
12 we want to a little kind of err on the side of
13 caution, be a little bit conservative, so that
14 was why we used that source for that particular
15 assumption. If there is more recent or better
16 information on that particular area, we'd love to
17 see it.

18 MR. STRAIT: So, I think that's it for
19 the questions, so we can move to the next
20 presentation.

21 MR. SHIRAKH: Okay. So, this is Mazi.
22 We have a decision to make here. We're at about
23 11:49. You know, we've got about at least an
24 hour-and-a-half of material to cover, and the
25 most important one is E3's PV storage cost

1 effectiveness. That might take about an hour.
2 And it doesn't make sense to do that and then
3 break because then we don't really have much
4 stuff after that. My suggestion is that there
5 are 183 people on line here, and I'm sure more
6 than half of them are hungry. My suggestion is
7 to break until 12:45 and come back promptly at
8 12:45 and resume with E3, and then the clean up
9 language, and then the only thing after that is
10 public comment. So, if everyone is okay with
11 that, we'll see you at 12:45.

12 MR. BOZORGCHAMI: Okay. So, I will not
13 shut the Zoom down, but I will stop recording, so
14 we will not be taking any comments at this time
15 until we come back at 12:45.

16 MR. STRAIT: Do we have something to put
17 on the screen to show that we're --

18 MR. BOZORGCHAMI: I'm going to figure
19 this out al quick --

20 MR. STRAIT: Okay.

21 MR. BOZORGCHAMI: -- and put it up.
22 Thank you, guys.

23 (Off the record at 11:50:14)

24 (On the record at 12:45:49)

25 MR. BOZORGCHAMI: It is time to start the

1 afternoon session. Michael Sontag with E3 is
2 going to do his presentation. But before he does
3 so, I just want to encourage everyone to really
4 participate and provide questions, comments to
5 us, if not just in the question and answer box,
6 but also in the docket. We really want to get
7 this right for this code cycle, and with your
8 assistance we could probably do so. So, please,
9 the sooner you guys start the dialog with us, the
10 better.

11 I apologize. This is the best we have
12 right now with the Zoom, and we're trying to
13 answer all questions and answers that come
14 through, but it's probably not the most ideal,
15 but it's the best we have right now. So, with
16 that, I apologize and I'm going to pass it on to
17 Michael.

18 MR. SHIRAKH: Before we start with
19 Michael, related to the last presentation by
20 NORESCO and Roger Hedrick, if, general public,
21 you have any other ideas about how to model these
22 and how to switch the baseline to heat pump,
23 please do let us know, and it would be nice to
24 have it in writing and docket it.

25 So, with that, we'll hand it over to

1 Michael Sonntag. Thank you, Michael.

2 MR. SONTAG: Thank you. All right. Can
3 everybody hear me?

4 MR. BOZORGCHAMI: Perfect, Michael.

5 MR. SONTAG: And can everybody see the
6 slides?

7 MR. SHIRAKH: Yeah, we can see it. Thank
8 you.

9 MR. SONTAG: Hello, everybody. My name
10 is Mike Sonntag. I'm a managing consultant here
11 at E3 and I'm speaking today about the cost
12 effectiveness results for the nonresidential PV
13 and battery we were looking at before.

14 So, to start off, just to cover what
15 we're going to talk about today, I'm going to
16 start with some background and context for this
17 analysis. I'm going to talk a little bit about
18 the various dimensions to be covered in the scope
19 of our analysis. We're going to take a deep dive
20 on medium office for the various cost
21 effectiveness scores, first, looking at PV only,
22 and looking at storage only, and PV plus storage
23 as a combination. We did a quick sensitivity on
24 storage duration that we're going to cover.

25 We also have some preliminary results on

1 reliability and resiliency that we're going to
2 talk about.

3 We also did a quick framework starting to
4 look at how we could be using daytime EV charts
5 using the compliance option.

6 And then other methods we have are pretty
7 extensive as further input assumptions as well as
8 some further results that were relevant but, you
9 know, did they make the final cut for the slides
10 that we're seeing today.

11 So, the goals of this analysis, you know,
12 first and foremost you want to evaluate the
13 participant benefits and cost effectiveness both
14 behind the meter PV and storage in high-rise
15 multifamily and nonresidential new construction.

16 You know, again, cost effectiveness is
17 focused on participants, so, while grid impacts
18 are certainly a part of this and are represented
19 by TDV, the focus for this is really on
20 participant cost effectiveness.

21 To do so we studied multiple
22 configurations and combinations thereof of both
23 PV and storage. And the focus on this is really
24 limiting grid exports, touching on what Mazi was
25 speaking about earlier with the Duck Curve.

1 And the way we're going to look at cost
2 effectiveness is measured both under TDV-based
3 rates, and also we tested these on current retail
4 rates, too, just to have a really robust sense of
5 how cost effective this is.

6 And within the TDV rate analysis we had a
7 couple configurations of the TDV cost components
8 to help found the potential future rate design.
9 You don't want to the -- CPC is about to start
10 and then 3.0 public proceeding. We really don't
11 know where, you know, we're asking to go at this
12 point, so, you know, our best hope in this is
13 just to, you know, within right sensitivities,
14 you know, cover it, not more than cover the
15 bounds we'd like to go and if that, you know,
16 takes effect before this code cycle would come
17 into place.

18 We also -- you know, this evaluation
19 also, again, covers, you know, many of these
20 prototype buildings for nonresidential and high
21 rise multifamily, and we did test each of the 16
22 climate zones separately.

23 And then, lastly, I wanted to call as a
24 goal of this analysis that we wanted to present
25 our data inputs and methodology in a transparent

1 matter, and echoing what as Mazi was mentioning
2 before, you know, if any stakeholders, you know,
3 particularly trade associations, or utilities, or
4 technology companies, or installers that do have,
5 you know, better data that they can provide to
6 help us hone in on what realistic assumptions
7 are, realistic control options, realistic
8 technology characteristics, we're happy to
9 consider those in the next analysis.

10 I'd like to start off, just, you know,
11 talking about the key findings that I'm going to
12 walk through.

13 First and, you know, I think most
14 importantly we did find that PV and storage as a
15 package and the smaller configuration of storage
16 facilities is cost effective for most building
17 categories, you know, due to the cobenefits of
18 the combined system.

19 You know, beyond just the cost
20 effectiveness tested, you know, I think is more
21 strictly measured for the building codes there
22 are additional benefits, including reliability
23 resiliency that, you know, would, you know, just
24 be an additional value proposition for anybody
25 that owns systems.

1 For PV cost effectiveness we did look at
2 this, again, for PV only and found that it's, you
3 know, cost effective across all scenarios from
4 the participant perspective, except under the
5 most significant rate reform.

6 We found, you know, kind of beyond that
7 that minimizing exports allows for, you know,
8 harvesting a lot of significant PV benefits while
9 also maintaining a pretty robust cost
10 effectiveness across rates sensitivities. And
11 then what the most significant rate reform would
12 be that's analogous to buy all, sell all on
13 avoided costs of rooftop PV which we think it's,
14 you know, pretty beyond what would happen in a
15 cycle of the 3.0 CPEC.

16 For storage only we found that it did
17 present large grid benefits, but given our
18 assumptions which I'll go into, it's generally
19 not cost effective for the first (indiscernible).
20 Since it's not cost effective on its own, I think
21 that means that it wouldn't be a required option,
22 but I think the benefits do provide grounds for
23 it to be a compliance option, you know, to hone
24 that in in the next steps.

25 And, so, we're going to present a lot of

1 different combinations and iterations today. Our
2 next steps from here are to, you know, start
3 collecting more additional relevant data from
4 stakeholders and then start to refine and
5 optimize the size and configuration in the
6 context of the building codes and standards to
7 see what, you know, the really clear
8 recommendation is going to be going forward.

9 So, with that, I'm going to dive into our
10 modeling inputs and dimensions. First, to start
11 out, our general modeling framework. We did rely
12 pretty heavily on the solar and storage
13 optimization tool. This is a tool that E3
14 developed under a CPUC -- I'm sorry, CEC EPIC
15 grant. So, it's publicly available. There's a
16 lot of documentation and a couple of summary
17 slide decks on line if you follow the link below
18 from the document that it was developed in.

19 This tool is, you know, pretty handy. It
20 can do a number of things. First and foremost,
21 we use it to calculate life cycle cost
22 effectiveness both from, you know, going back to
23 the TDV impacts. It can spit out avoided costs,
24 you know, both for PV and for storage. More
25 relevant to storage, it can do optimal storage

1 dispatching control, and it also has optimal
2 sizing functionality that we started to get back
3 into, but not so much yet.

4 And so, we funneled our many iterations
5 and combinations of inputs to the tool to, you
6 know, more or less get a cost effectiveness for
7 various combinations.

8 Moving on to the sensitivities that we
9 analyzed in this. We looked at a number of
10 different rate scenarios, as I mentioned before.
11 Looked at a couple different PV sizes, as well as
12 couple different storage sizes, and then the
13 combinations of, you know, PV only, storage only
14 and PV plus storage.

15 We had two storage dispatch options that
16 we developed. You know, one is an upper band,
17 and one is a lower band, and we looked at this
18 for the following building types. Your most
19 (indiscernible) is retail, schools and high-rise
20 res.

21 We looked at them both for mixed fuel and
22 all electric, though we did size all-electric PV
23 systems to the size of mixed fuel which is
24 consistent with what was done for the residential
25 buildings in the last code cycle.

1 We did look at all 16 climate zones, and
2 then we had this additional sensitivity for
3 reliability and rezoning. You can combine these
4 in many ways and, you know, it adds up to, you
5 know, many thousands of different end results.
6 So, a lot of data only a fraction of which is
7 presented today.

8 Going on to rates. So just start off
9 with the background on, you know, what are TDVs,
10 because a lot of our rate sensitivities are based
11 on this. TDVs are time dependent value. It's
12 what the State uses to determine cost
13 effectiveness for building codes and standards
14 which is required by the Warren-Alquist Act.
15 It's meant to be a long-term forecast of energy
16 costs to building owners, you know, specifically
17 for cost effect analysis.

18 It has a number of different cost
19 components as you can see in the chart at the
20 bottom right here. In our TDV-based rates use
21 various combinations of these to kind of get at
22 where we think, you know, potential rate and
23 performance scenarios could go.

24 This chart specifically is an average of
25 all the days in the year, so, at noon, for

1 example, it would be the, you know, the average
2 TDV for noon for all 365 days. So, if you were
3 going to assign on an hourly or daily basis then
4 it is much more volatile. This is kind of our
5 sample days here.

6 So, to dive a little bit more into the
7 rate sensitivity is being considered. First, we
8 did look at existing utility retail rates. We
9 have some pretty extensive mapping of each
10 building in climate zones.

11 So, the climate zone is a way to
12 determine what utilities is used. We looked at -
13 - the three that are used are LED, WP and SMUD.
14 And then building size we used to determine that,
15 you know, an appropriate utility rate for that
16 based on the zone.

17 These are all NEM 2.0 rates. They're
18 typically TOU rates with 4:00 to 9:00 p.m., or
19 somewhere thereabouts time of use window. And,
20 you know, as part of this they self-utilized
21 electricity which is what you generate and
22 consume behind the meter. It's compensated
23 roughly the same as what exports are
24 compensated. So, there's a small nonbypassable
25 charge from NEM 2.0 that's on the self-

1 utilization side and not on the export side.

2 Going to our TDV-based rates, listing
3 these in order of increasing NEM rate reform.
4 So, first, is our NEM 2 analogous rate which is
5 full TDV. We remove a little bit of
6 nonbypassable charges, but you're effectively
7 getting compensated the same for self-utilization
8 and grid exports. This is why most of the other
9 codes and standards cost effectiveness studies
10 are going to be evaluated on. This is what Roger
11 was showing earlier, you know, this is the full
12 TDV rate and kind of what the legal minimum
13 amount is for what the cost effectiveness
14 analysis would be based on.

15 Since there is some -- you know, the NEM
16 3.0 proceeding is about to begin, we did want to
17 try these additional sensitivities just to make
18 sure wherever that lands is within the bounds of
19 this study. So, we looked at this both for self-
20 utilized on full TDV with exports on avoided
21 costs, which is all TDV except for the retail
22 rate adder. And, then also, with exports on
23 wholesale costs, which is avoided costs except
24 for some of the emissions, value streams that
25 don't have an immediate (indiscernible).

1 And then, lastly, we looked at where
2 self-utilized electricity and exports are both on
3 avoided costs.

4 I just wanted to illustrate what these
5 look like for the TDV-based rates. So, we see in
6 the bottom left this blue line here is the full
7 TDV. That includes the retail rate higher. When
8 we remove that to get the avoided costs and the
9 wholesale cost it goes down a pretty significant
10 amount, particularly in the middle of the day
11 when TDV is generating the highest. The gold
12 line in the middle is TDV generation. And, yeah,
13 avoided costs are only a little bit higher than
14 wholesale costs are, but they are, you know, both
15 quite a bit smaller in magnitude than full TDV,
16 just to get a sense of how much exports might be
17 confiscating.

18 I do want to call out as well that
19 different climate zones are going to have
20 slightly different TDV shapes based off of local
21 transmission and distribution peaks. For
22 example, climate zone 8 here, which is in the
23 inland valley basin, just, you know, because of
24 the mix of energy consumption profiles there has
25 -- still has a little bit more of a midday peak

1 that changes the value in the middle of the day.
2 I think it only creates a small difference as
3 we'll see later. There is, you know, a
4 difference between climate zones.

5 Moving on, so some of our inputs for PV.
6 We did look at three different PV sizing options.
7 The first, which is the largest is, max. NEM
8 compliance system. That's where our annual solar
9 generation is equal to the annual total building
10 consumption, and on an annual basis they, you
11 know, net out to each other.

12 You know, the rule of thumb on this, it
13 does vary between building type, but we see about
14 40 percent of the annual PV generation is being
15 exported to the grid.

16 The next size down is self-utilization.
17 This is a little bit of a convoluted definition,
18 but it's sized to generate the amount of PV that
19 is self-utilizing the max. NEM compliant case.

20 So, from the max. NEM compliant if where
21 exporting 40 percent of our annual PV generations
22 to the grid, that means we're self-utilizing
23 about 60 percent of it, and so the self-
24 utilization size will generate about 60 percent
25 of the annual, you know, PV output at the max NEM

1 compliant case that does.

2 You know, as a bit of a rule of thumb,
3 and this does vary by building type again, we do
4 see about somewhere on the order of near 20
5 percent exports of PV in this case.

6 And then lastly, we cite the smaller
7 option where it's just sized to export five
8 percent of annual PV generation.

9 And then lastly, we have this gray bar in
10 the bar charts here. It's a roof constraint.
11 NORESKO looked into this. They didn't present on
12 this today, so it would be, you know --

13 Further results just to do, if anything, a
14 sanity check to make sure there's enough space.
15 We see in many cases for the prototype buildings
16 there might not be enough space for a maximum
17 compliance system, but there is feasibly enough
18 space for the smaller configurations we're
19 looking at. And this chart doesn't include large
20 office because it changes the axes pretty
21 dramatically, so there is results for that.

22 Moving over to some key PV inputs. So,
23 as John touched on earlier, the capital cost
24 there was met before. We're just pretty strict
25 CAPEX numbers not counting for inflation.

1 So, assuming those were in 2020 dollars,
2 we calculated the lifetime at present value costs
3 in 2023 dollars which is what, you know, the
4 dollar rate that TDVs are reporting in for this
5 code cycle. You know, assuming inflation rate to
6 get there, and, you know, this covers all the
7 replacement costs, fixed costs, and it does
8 incorporate a 10 percent ITC for your top PV.

9 A couple of other details in the weeds
10 that I wanted to make sure made it into the bulk
11 presentation, but I don't think we can touch on
12 these so much right now.

13 Next, looking at our storage sizing
14 options. We ran two primary cases for storage
15 sizing. These both are assumed to be four-hour
16 duration. I will show two-hour duration later,
17 the sensitivity, later. But the larger size of
18 these is what we call max. storage. So, this is
19 sized, both of these, in relation to the self-
20 utilization PV capacity size. So, for max.
21 storage we just set the storage capacity and
22 kilowatts is equal to the PH capacity in
23 kilowatts, and it's a 4-kilowatt hour battery.
24 And then for this minimizing solar export size,
25 it's a little bit smaller and changes based on

1 the building type, but the nominal goal of that
2 was to reduce PV exports from 20 percent annually
3 to about 10 percent. And, due to coincidence of
4 building loads and what not, you know, it's not
5 always possible, particularly for office
6 buildings that might have lower occupancy on the
7 weekends, to balance it off during the course of
8 the year.

9 So, key storage inputs. You know, again,
10 we took the capital costs from NORESO and turned
11 it into a net present value lifetime cost,
12 accounting for, you know, inflation and
13 everything. We did assume a 10 percent ITC
14 again, and, you know, primarily because we'll be
15 charging on solar.

16 And, again to reiterate, we do have your
17 10-year storage lifetime, so you do have major
18 cell replacements at year 10 and year 20, which,
19 again, we think is a pretty conservative
20 assumption.

21 I do want to touch on SGIP incentives as
22 we felt, you know, for the context of building
23 codes and standards, SGIP, would be double
24 counting if this was a code requirement.
25 Certainly, if this was required, having an

1 incentive for storage might not make quite as
2 much sense as if it's an option. So, for this
3 analysis we just assumed that it assumes no extra
4 for the storage cost. Some of the storage only
5 costs might be, you know, different than we might
6 see in a buildup cost.

7 The next key assumption for storage is
8 the levels of battery control. The two big
9 factors that we see in this typically are, you
10 know, with the control scheme that we use to
11 operate the battery, and then the pricing of the
12 battery it's dispatching off of. We tried to
13 bound this problem by having, you know, high and
14 low, you know, complexities or sophistication
15 levels of the control scheme, and then looking
16 at, you know, what we think is more of the near-
17 term signal which is retail rates, and then
18 further out in the future which would be a, you
19 know, full TDV base rate signal.

20 And, going on, you know, just to cover,
21 you know, what does optimal dispatch look like.
22 This is the, you know, perfect foresight feature
23 in our solar and storage tool. So, it's able to
24 look, you know, infinitely farther in the future
25 to determine what the, you know, cost optimum way

1 to dispatch the battery is and dispatch it
2 accordingly.

3 As a demonstration here I wanted to show
4 what this looks like in an actual building or in
5 an actual prototype building. Just to correct
6 myself there. So, these plots here show the
7 gross load in red and then the blue dash line is
8 on the left, the full TDV rate, and on the rate
9 it's PG&E B-10 TOU. Both of these are for medium
10 office in climate zone 12.

11 And in addition to the two-year period
12 for the PG&E B-10 rate, we do also have an extra
13 demand charge that doesn't appear on those
14 charts, and certainly affects the storage
15 dispatch as you'll see later. And, again, these
16 are averaged over the course of the year. This
17 is an average. These might not look quite as,
18 you know, volatile or be as much of a spread
19 between the midday TOU and the EP TOUs might
20 expect.

21 So, adding on to these charts we see
22 there are, you know, PV output happens, you know,
23 where the -- our rate signals are typically at
24 their lowest which is consistent with the Duck
25 Curve and kind of how things are evolving in that

1 direction.

2 Adding in storage dispatch from the solar
3 and storage tool, you can see on the left where
4 we have our TDV base rates that we are trying to,
5 you know, charge in the middle of the day when we
6 either have exports or when the energy prices are
7 the lowest, and then we dispatch in the evening
8 for the evening feed. I know this kind of, you
9 know, a bit on TDV view. We do start to see a
10 peak in the winter, and as this is an annual
11 average, this morning peak gets dispatched to one
12 of those spots as well. You have a summer peak.
13 In the evening we dispatch time.

14 For our actual retail rate, we also
15 charge in the middle of the day, but we dispatch
16 more of the optimal dispatches to cover more of
17 this, you know, shoulder peak before some of the
18 TOU periods start to pick up some.

19 And we see what the net load looks like
20 between these -- on the left when it's TDV-based
21 rates it does let the net load increase a little
22 bit while TDV rates are a little bit lower, and
23 then it discharges when the TDV rates are the
24 highest.

25 And then on the right for the retail

1 rates, because it does have a demand charge
2 component and peak demand clipping is a prominent
3 economic benefit of behind meter storage. It's
4 really optimizing to flatten the load to reduce
5 the, you know, total demand for the month or the
6 year.

7 And these new 4:00 to 9:00 p.m. TDV
8 periods certainly have better alignment than
9 previous time of use periods did, but there's
10 still a little bit of a mismatch between -- you
11 know, what we see is that third-year lifetime
12 grid impacts and what's actually be discharged to
13 (indiscernible) and retail rates.

14 So, going on, we also have this basic
15 dispatch option. So, this was borrowed from the
16 residential PV setting from three years ago.
17 This -- the basic scheme for this is, you know,
18 this ignores a lot of the price signal and, you
19 know, discharges as soon as we start exporting PV
20 and then discharges as soon as there -- as soon
21 as we stop exporting, so, storage, itself, can't
22 export, but it, you know, it does cover as soon
23 as the solar backs offline.

24 Having got a little more time with the
25 results of this, we think this is being a little

1 bit too conservative and are looking for what the
2 right lower bounds on dispatch options would be,
3 and we're open to hear more about that from any
4 technology providers or anybody else. We have a
5 couple ideas on how to better model this, but
6 it's still newer.

7 Great. So, that was all of our key
8 inputs in modeling assumptions. We do have some
9 other detail inputs in the appendix.

10 Now we're going to touch on the cost
11 effectiveness of this over, you know, various
12 configurations.

13 So, first would be PV cost effectiveness
14 with the full TDV rate. These charts here show
15 the benefits and costs, as well as the benefit
16 cost ratio for each of the configurations.
17 There's a lot going on in these.

18 So, this green column on the left here is
19 the total benefit from the system. The yellow
20 box is the total cost, you know, total lifetime
21 benefit, total lifetime cost. The B/C ratio is
22 simply the benefit divided by the cost. And then
23 each of these boxes is for a different PV size,
24 and these are all for medium office in climate
25 zone 12 with the mixed fuel load, and again, on

1 the full TDV. This box is optimal dispatch.
2 There's no storage in this, so it's just PV and
3 optimal dispatch is irrelevant at this point.

4 And we see in this that, you know, all of
5 these are -- have pretty strong cost
6 effectiveness, which is important. Due to the
7 economies of scale that NORESO pointed out with
8 PV costs reduce even the largest system has the
9 highest B/C ratio. And this is, you know,
10 especially true when we have our full TDV rate
11 where self-utilization and exports are
12 compensated pretty nearly the same.

13 If we go to a rate where exports are
14 compensated to a lower amount and self-utilized
15 like (indiscernible) is, we see that the trend
16 kind of flips where the size with the smallest
17 exports has the highest B/C ratio. And that
18 benefit is different for each of these, so, I
19 think still the maximum compliance system would
20 have the largest net benefit, but (indiscernible)
21 just the amount of exports.

22 And, yeah, I forgot to mention this
23 before. You're thinking about like what bar do
24 we need to clear in this analysis. We think that
25 exports on avoided costs is a pretty conservative

1 assumption for what potential, you know, NEM-3
2 compensation might look like, so we're really
3 targeting this export on avoided cost rate to see
4 if it's cost effective or not.

5 So, next, looking at utility rates we do
6 see that it's even more cost effective than what
7 TDV-based rates were. We do see a small demand
8 charge component in this, and, again, since we
9 have self-utilized electricity and exports being
10 evaluated to a similar extent. The larger system
11 size is able to take advantage of the economies
12 of scale, and when you get higher benefits
13 because of that.

14 So, bundling these altogether, this chart
15 shows our four size options on the right here, so
16 max. NEM compliant, our self-utilization or 20
17 percent exports, and then our five percent
18 exports case.

19 The different points on these show the
20 different rate scenarios. So, yellow at the
21 highest is utility rate, blue is the full TDV
22 that I showed previously, this tannish color,
23 which is oftentimes coincident with wholesale
24 cost, is avoided costs or export on avoided
25 costs. In the screen below is where we've self-

1 utilized and export on avoided costs. You know,
2 I think it is important to call this out, but,
3 you know, when you self-utilize in export on
4 avoided costs you have a net cost. I think these
5 are really the realistic grade scenarios, and
6 this is a participant benefit calculation.

7 So, expanding this out, across all
8 climate zones -- these charts are going to get
9 very busy very quickly -- so we have all 16
10 climate zones along the base here, and again,
11 this is net benefit. And then the various colors
12 represent the -- correspond to various rate
13 scenarios. And the different shapes correspond
14 to different sizes, yeah, there we go.

15 And so, we see in this that basically for
16 all of our sizes everything has a net benefit in
17 the export on avoided costs as well as several of
18 the other rate scenarios. And the self-utilizing
19 export on avoided costs is nearly cost effective
20 in some climate zones that generally do not
21 happen nowadays. And then I wanted to call to
22 your climate zones one and sixteen are slightly
23 less cost effective than most of the other
24 climate zones are. And I think that's a function
25 of, you know, PV output to a large extent.

1 Great. So, bundling this up one step
2 further, this sheet map here shows the net
3 benefit in dollars per watt for the self-utilized
4 PV size with export on avoided costs, the TDV
5 rate scenario where it self-utilizes full TDV and
6 export on avoided costs. And, again, this is for
7 all the mixed fuel loads.

8 And, so, we see in this that all these
9 show a positive net benefit which means that they
10 are all cost effective. Some building types are
11 more cost effective than others are. You know,
12 typically it's a function of, you know, if they
13 are larger and, you know, do you get the
14 economies of scale for the PV costing.

15 The smaller ones have a little less cost
16 effectiveness, and then there will be some minor
17 differences between climate sensibility types
18 based on how much correlation there is between
19 building load and how much it coincides with the
20 PV generation.

21 We ran this test also on the utility
22 rates and again found positive net benefits
23 across all 16 climate zones and all the
24 utilities. In the appendix I have a slide, the
25 same slide that also incorporates rates LAWPE and

1 SMUD where relevant.

2 And, yes, so bundling this all up, you know,
3 we see the PV related cost and effect across all
4 building types for our TDV rates with exports on
5 avoided costs, which we believe is a, you know,
6 conservative computation assumption.

7 The larger buildings have this economies
8 of scale with lower PV costs that makes them
9 slightly more cost effective, and there is a, you
10 know, slight further variation based on building
11 loads and PV generation, and the utility rates do
12 impact cost effectiveness in PV depending on the
13 utility and most likely rate tariff, and we
14 pulled a lot of these rate tariffs without much
15 fall into optimizing if there were multiple
16 options for a given building size with, you know,
17 the best option for PV would be, but since
18 they're all cost effective in this case we think
19 that that, you know, wouldn't necessarily change
20 our results.

21 Moving on to cost effectiveness of
22 storage-only configurations. We see that the
23 costs are -- you know either outweigh benefits a
24 little bit or are pretty along line with our
25 current cost projections. This is under optimal

1 dispatch, and this is full TDV, so this kind of
2 the upper bounds of what the storage-only cost
3 effectiveness might look like. So, if you start
4 to introduce more realistic dispatch or, you
5 know, things of that sort, you'd see how cost
6 effectiveness would, you know, begin to dip below
7 this ratio of one.

8 Again, we see this, you know, economies
9 of scale. You know, this sizing in particular --
10 the size on the left is above 100 kilowatts, and
11 the size on the right is below 100 kilowatts, so
12 they get costed differently for the data from
13 NORESKO, and again, these are both four-hour
14 batteries.

15 Doing a sanity check on -- as to how
16 utility rates value these compared to our TDV
17 rates, this utility rate happens to be much less
18 cost effective. We do see that most of the
19 storage benefit does come from demand charge
20 savings, which is pretty consistent with other
21 utility rates. You know, again, we didn't
22 totally optimize for which utility rate might be
23 best, so there could some fluctuation in this.

24 And, you know, again, I don't want this
25 to be an indictment of all behind the meter

1 energy storage because there's a lot of cases
2 where it is cost effective, particularly in real-
3 world buildings that will be -- you have a much
4 more PV load than our prototype buildings will,
5 as well as potential to, you know, participate in
6 local demand response programs or, you know, look
7 past the programs. And, also again, this doesn't
8 include SGIP incentive because we're -- you know,
9 in this context there's a code requirement.

10 So, in, you know, kind of in both these
11 cases we see this not quite cost effective, so,
12 you know, that (indiscernible-skip in audio).

13 Expanding this to the various climate
14 zones, the findings are mostly the same. We do
15 have a couple of cases where, you know, one might
16 have some net benefit, but most of our
17 sensitivities have a net cost to them, so it can
18 be classified as, you know, largely not cost
19 effective.

20 Moving over to cost effectiveness of the
21 PV and storage combined. Looking at our full TDV
22 rate, you know, again, for our self-utilization
23 PV size and our two storage configurations we see
24 that the -- both are cost effective, and the
25 smaller configuration, despite the, you know,

1 difference in pricing is -- has a slightly higher
2 B/C ratio and the net benefit is fairly similar.

3 If you look at this for our exports on
4 avoided costs, which again, is, you know, the bar
5 that we're looking to clear for cost
6 effectiveness, we see that the smaller size has a
7 higher B/C ratio again, and I would say,
8 therefore, is a little bit more insulated to
9 potential NEM rate reforms.

10 Looking at this for our, you know, PG
11 kind of use rate again, the larger size is a
12 little less cost effective and the smaller size
13 is more cost effective. This is, I think,
14 largely due to a dynamic with the demand charge
15 benefit that the smaller size is able to capture
16 most of the same demand charge benefits as the
17 larger sizes, and, so, we've got this, you know,
18 diminishing return on the larger size.

19 Looking at our basic dispatch just for
20 transparency sake, we did see that this, you
21 know, limits cost effectiveness in a pretty
22 significant way compared to our outgoing
23 dispatch. So, that's why we're going to continue
24 our search for a better, realistic middle ground
25 we feel. The larger sizes, you know, less cost

1 effective than the smaller sizes, and, you know,
2 it may be another takeaway from this that the
3 smaller size is more or best for cost
4 effectiveness if the controls are a little bit
5 off.

6 Bundling this up for medium office across
7 all 16 climate zones we see, again, that the cost
8 effectiveness is pretty consistent across the
9 board for our three, you know, higher TDV-based
10 scenarios as well as all our retail rates. You
11 know, again we see that we have a net cost under
12 the self-utilization index for on avoided cost
13 scenario. Again, we think that's not, you know,
14 not realistic in the near term.

15 And, again, we also see that climate
16 zones one and 16 also have a little lower cost
17 effectiveness.

18 Bundling up to all of our building types,
19 this is for our smaller storage size and our --
20 again, our self-utilization PV size, and, also,
21 our self-utilized on TDV export on avoided costs
22 rate scenario which, again, is the bar trying to
23 clear on this. We do see that most of these
24 combinations have a B/C ratio higher than one,
25 and again, this key map is different than the one

1 we showed before. The previous one was net
2 benefit. This one is benefit/cost ratio, so if
3 it's greater than one, it's a positive benefit.
4 If it's less than one it's a net cost.

5 And, so, we do see that we're, you know,
6 greater than one mostly across the board on here,
7 under pretty conservative compensation
8 assumptions, albeit with the optimal dispatch
9 which is, you know, a little higher.

10 Looking at this for the utility rates we
11 see that this is a little bit more cost effective
12 than the TDV-based rates we were just showing, so
13 there's a higher benefit. And, you know, again,
14 this is pretty universal across the board
15 regardless of the -- which utility and which rate
16 cost. And, again, we see the larger buildings
17 have a higher B/C ratio, again, due to the
18 economies of scale and the lower cost for that,
19 the larger systems.

20 All right. So, wrapping up the PV and
21 storage cost effectiveness you can see that with
22 the exception of some cases that the smaller
23 configuration of PV and storage is cost effective
24 across building types in climates zones, even
25 what we consider conservative compensation

1 assumptions.

2 We see the basic dispatch diminished as a
3 cost effectiveness across building types,
4 yielding some noncost effective combinations.
5 We're going to continue looking into this in the
6 coming weeks. The larger buildings, again, have
7 slightly better cost effectiveness due to the
8 economies of scale.

9 And then under TDV rates, depending on
10 how coincident the building load profile is along
11 with the PV and storage dispatch profiles there
12 is a little bit of variation in cost
13 effectiveness between building types, and, you
14 know, using the utility rates that we analyze in
15 this, the cobenefits of PV and storage yield a
16 generally cost-effective solution for prototype
17 buildings.

18 All right. So, that's our main results.
19 I did want to show this quick sensitivity on
20 storage duration and size.

21 So, we're looking at four-hour batteries.
22 This is pretty consistent with a lot of resource
23 adequacy programs and what not, but we are aware
24 that two-hour batteries are a little bit more
25 commonplace in nonresidential applications,

1 particularly because of the structure SGIP
2 funding right now begins to taper off if you size
3 a battery larger than two hours.

4 And we found, you know, the two-hour
5 batteries are a little bit more cost effective
6 kind of across the board than a four-hour battery
7 would be for the prototype buildings. I don't
8 believe it really, you know, changes the sign or
9 changes the results in any of the uses. We can
10 explore this deeper in the coming weeks as well.
11 That seems to be the right configuration based
12 on, you know, a little more research and feedback
13 from stakeholders.

14 Looking at our sensitivity on reliability
15 and resiliency, so we do have some detailed
16 inputs about this in the Appendix, but
17 essentially what we did, so for reliability we
18 define this as your ability to use your behind
19 the meter PV and storage to cover an unplanned,
20 short duration power interruption from things
21 like, you know, transition and distribution
22 interruption. You know, a substation goes down
23 in your neighborhood or, you know, a car hits a
24 power pole or something like that, so it would be
25 like a one- or two-hour line power outage. And

1 we valued this based off of the system's ability
2 to cover this in any given hour, and then, also,
3 we used this value of loss load that was
4 developed through a market survey which was run
5 by LBNL. And those numbers are pretty high.
6 It's, you know, in the order of hundreds of
7 dollars per kilowatt hour.

8 And, so, where this benefit is valued for
9 customers who find this important, this doesn't
10 really prove the cost effectiveness across the
11 board for all of our storage options like, you
12 know, intermittent backup power. We think it is
13 highly dependent on the customer, though, how
14 much value do they really truly place on that.
15 These are median numbers, so it could be much
16 higher and it could be much lower as well.

17 We also wanted to take a stab at this
18 looking at the resiliency benefit. So,
19 resiliency we define as the ability to cover, you
20 know, a portion of the load, with the critical
21 loads during planned outage days, such as public
22 safety power shutoffs. These are going to be
23 much longer in duration than the previous ones,
24 and so the value of loss load dollar, you know,
25 cost or however you want to frame it can really

1 add up, and if you're able to cover that with,
2 you know, a reasonably sized PV and storage
3 system, there is significant benefit there.

4 And, you know, again, this doesn't -- I
5 don't think this necessarily applies to every
6 building type or every climate zone in the state.
7 You know, it's certainly more in the areas that
8 are impacted by the public safety power shutoffs.
9 And (indiscernible) results in this as well. You
10 know, if the participant does place a lot of
11 value on this there's really substantial benefit
12 to this.

13 And, lastly, stretching on, you know,
14 what we're thinking for compliance option for EV
15 charging. So just high levels. We haven't done
16 all that much analysis on this yet, but ARB is
17 estimating there's going to be essentially a very
18 large need for public and workplace level two EV
19 charging to meet our 2025 ZEV goals. You know,
20 again, this is never much further beyond the
21 forecast for current building codes and
22 standards.

23 We are aware that Title 24, Part 11,
24 which is the CALGREEN code, requires that about
25 six percent of a building's parking spaces be EV

1 capable. It's essentially all the
2 infrastructure, you know, the panel, the wiring,
3 except for the charger, itself. And, so, there's
4 a bit of a gap that we can fill with compliance
5 credits through the Part 6 of Title 24, so we
6 would be able to give credit to building owners
7 for installing EV chargers there, electric
8 vehicle supply it's also called.

9 We want to make sure that we're not
10 double counting any benefits in this with other
11 LCFS credits. I think that's mostly applicable
12 to how it interacts with onsite PV charging or
13 onsite PV generation. And, you know, the high
14 level of the compliance credit is based on
15 charging during daytime hours compared to
16 charging in the evening and not having a lot of
17 good benefits with the Duck Curve and what not.

18 So, a more clear example of this, so,
19 this chart on the bottom left here shows the TDV
20 in the green area. This light blue profile is,
21 you know, all the charging shape generated by E3
22 that represents workplace charging. And then the
23 dark blue line is what represents more typical
24 residential EV charging. And we can see that,
25 you know, EV -- residential charging is pretty

1 coincident with, you know, at least for folks
2 that commute by car. You know, this is
3 coincident with the evening peak, and this is,
4 you know, a pretty well documented issue for EV
5 charging and the need for control of that, you
6 know, whereas workplace charging if one is
7 commuting via car and the car sits at the office
8 all day and there's workplace charging available,
9 they're able to, you know, just have, you know, a
10 structural ability to use lower costs, lower
11 emissions, electricity to charge. And, you know,
12 it's pretty easy to quantify, just looking at the
13 difference between the charging profiles as they
14 relate to TDV.

15 This chart on the right here shows the EV
16 load ship credit in KV2s or, you know, KTVDs, and
17 the red dot is the percentage of that credit is a
18 percentage of gross building load for medium
19 office, and, so, you know, it's somewhere around
20 .1 percent of the total TDV one would be able to
21 get a benefit for under this really preliminary
22 framework, for example, if you had a hundred or
23 let's call it 50 chargers on, say, that would be
24 about five percent of the gross building TDV that
25 could potentially be enabled as compliance

1 credits. And, yeah, you know, again, this is
2 really just because, you know, this middle of the
3 day where we have a lot of excess PVs is just a
4 much cheaper electricity to serve than the
5 evening peak when folks get home and plug their
6 cars in right away.

7 All right. So, that's all of our
8 findings for today. Just to reiterate for the
9 key findings again we found that PV and storage
10 as a package in the smaller configuration is cost
11 effective for most building categories. There
12 are the additional benefits we did not include in
13 this cost effectiveness equation for reliability
14 and resiliency.

15 We saw that PV is cost effective across
16 all scenarios from the participant's perspective,
17 again, except under this most significant rate
18 reform.

19 And, you know, I think that there is good
20 grounds for, you know, being conscious about
21 exports and trying our best to minimize those to,
22 you know, help, you know, better grid benefits
23 and just grid harmony in general.

24 And, again, storage only does have large
25 grid benefit which, I think, makes it a good

1 candidate for compliance credits, but it's not --
2 you know, under the current storage cost
3 projections we don't see storage only being cost
4 effective and it's, yeah, in our current inputs.

5 And for next steps what we're looking at
6 in the coming weeks, we're going to continue to
7 refine our size and configuration. Again, we're
8 kind of, you know, landing at this self-utilized
9 sized PV with our smaller battery size.

10 Once we have this, you know, more
11 specific size and start to develop a draft code
12 language around it, we're going to look at the
13 source energy and emissions impacts of this.

14 In the coming weeks we want to refine our
15 battery controls, and again, we'll look into any
16 data from stakeholders that we can incorporate to
17 help refine that as their basic dispatch is a
18 little bit too conservative.

19 So, you know, any helpful data on that
20 would be things like how well batteries actually
21 perform compared to, you know, perfect foresight
22 or optimal dispatch in the real world.

23 And then other data that, you know, we
24 would be, you know, like to see from interested
25 stakeholders would be things like capital and

1 operating costs, if there's any technology
2 characteristics that, you know, seem not
3 reflective of actual installations in our
4 assumptions. And, again, better battery control
5 schemes, more common storage duration, or if
6 there's any notes on future rate design we are
7 happy to look at that as well.

8 And with that, I will open it up to
9 questions.

10 MR. SHIRAKH: Thank you, Michael. Pretty
11 cool stuff. Pretty fascinating.

12 MR. BOZORGCHAMI: So, I'm going to unmute
13 Beverly. Beverly, please state your name and
14 your affiliation. Beverly, you're going to have
15 to unmute yourself.

16 MR. STRAIT: We're giving permission to
17 speak but then the person also has to unmute
18 themselves. It's a two-step process. Folks
19 should be aware of that when it comes time for
20 public commentary as well.

21 MS. DESCHAUX: Are you unmuting me?

22 MR. BOZORGCHAMI: Yeah, you're unmuted,
23 yes. You had your hand raised.

24 MS. DESCHAUX: I did, oh. That was an
25 accident, but because I was writing it in. Okay,

1 it's fine. I'll ask it because I wrote it in.

2 So, were you saying that you thought
3 people were charging a lot --

4 MR. BOZORGCHAMI: I apologize, Beverly.
5 I am sorry. I need you to state your name and
6 your affiliation for the record.

7 MS. DESCHAUX: I'm sorry. I'm sorry.
8 Beverly DesChaux is my name. I'm with the
9 Electric Auto Association Central Coast Chapter
10 of California as well as an advocate for a
11 community choice aggregator.

12 Are you saying that when you think that
13 when people come home from work they start
14 charging their car, because really we don't? We
15 charge late at night, overnight, and when we're
16 home we charge during the middle of the day
17 exactly to handle the Duck Curve.

18 And, also, I wanted to have someone here
19 address the idea of using natural gas as an okay
20 thing to keep using because one thing I think is
21 not being considered is the cost of the methane
22 leakage, and depending upon the scientist, they
23 say that there's 24 to 100 times the heating
24 capacity of methane compared to CO2 and
25 approximately 11 percent leakage throughout the

1 production cycle of natural gas, so, it's really
2 not such a -- I just wanted to repeat what
3 somebody else said is that this is really a
4 crisis and we need to eliminate that as a backup
5 source except in perhaps the zone 16 or zone 1
6 where the other options aren't available yet, but
7 options are available here and we need to
8 eliminate that as a backup source. Thank you.

9 MR. SHIRAKH: So, this is Mazi, Energy
10 Commission. There were several questions in
11 there.

12 As far as the methane leakage from the
13 natural gas, our natural gas TDV actually does
14 capture within building leakage. So that is
15 already incorporated and will also be part of the
16 source energy metric that we'll develop later
17 based on this.

18 So, any other questions I'll defer back
19 to Michael.

20 MS. DESCHAUX: I don't know if I'm still
21 unmuted, but I'm talking about during production,
22 during the whole production cycle.

23 MR. SHIRAKH: We have only authority for
24 building and, you know, we really can't go back
25 within the building code back to the wellhead.

1 So, again, for buildings that's where we have the
2 authority and the enforcement mechanisms. So,
3 you know, we are capturing the methane leakage.

4 MS. DESCHAUX: Okay. Thank you.

5 MR. SONTAG: Yeah, and just to go on the
6 methane leakage that we incorporated into the
7 natural gas TDV is consistent with CARB's
8 greenhouse gas inventory, so to the extent that
9 that captures some production leakage, we have
10 that captured, but we're aware that, you know,
11 it's only within state so it might not capture
12 some of the out-of-state leakage.

13 Anyway, so addressing your questions on
14 electric vehicle charging, this is based off of
15 your kind of -- not any one driver's profile. We
16 try to represent a full, you know, fleet or
17 population that, you know, EV charging and
18 driving behavior. And, so, you know, while some
19 folks might be better about, you know, charging
20 in off hours and what not, we found that, you
21 know, based off of current driving behavior and
22 charging behavior that we do have a little bit of
23 an evening peak from that still, too.

24 You know, this is going to be better
25 managed in the future. That will certainly help.

1 You know, I think it's important to recognize
2 that there is a need for EV charging. You know
3 people are going to be parking their cars in a
4 given location during the day. That will always
5 be cheaper and easier to serve with solar power
6 if you can charge in the middle of the day, so
7 that's all we're really trying to capture in
8 this.

9 MR. STRAIT: All right. Moving on to the
10 written questions, there are some that are
11 general questions relating to TDV rather than to
12 the technical content of the slides, so I'm going
13 to do the technical questions on the slides first
14 and then circle back to some of these general TDV
15 questions.

16 First, a question from Tom Paine. "How
17 feasible is it for a high-rise residential
18 building to have 200 kilowatts in a high-density
19 area?" They're specifying, "It does not seem
20 possible without either offsite or community
21 solar."

22 MR. SHIRAKH: So, maybe I can answer
23 that, too, and then Michael can chime in. This
24 is Mazi. We are actually very mindful of roof
25 constraints. So, we will write the code language

1 in a way that will accommodate what available
2 solar access is on the roof and account for
3 situations where there may not be enough
4 effective solar -- annual solar access.

5 So, Michael, do you want to add to that?

6 MR. SONTAG: Well, Mazi, these are all, I
7 think -- you were asked about the roof area
8 constraints on these and it was based off of the
9 geometry of the prototype buildings, and as Mazi
10 said, the actual code is going to consider where,
11 you know, a taller, skinnier building might not
12 have enough effective solar access area.

13 MR. SHIRAKH: Again, we're going to write
14 the language in a way that to exceptions or just
15 the structure of the code that will take care of
16 situations where they may not be available --
17 enough available annual solar access.

18 MR. STRAIT: As a follow up, Sean
19 Armstrong asks -- this just moved around. I'm
20 sorry. Sean Armstrong asks, "Did you perform a
21 roof constraint analysis using canopy solar
22 arrays that go over plumbing vents and other
23 rooftop obstructions? They mention that these
24 will add about \$800 per kilowatt to a rooftop
25 array, so \$2,600 per kilowatt installation would

1 go to \$3,400 per kilowatt if they were on canopy
2 array."

3 MR. SONTAG: I believe we've got the roof
4 area constraints, and again, NORESCO, if you have
5 any more insights on this please do chime in, but
6 this was just based off on not directly on the
7 roof.

8 MR. ARENT: Yes. These were directly
9 mounted on the roof, so either positive
10 attachment or ballasted systems. But I think
11 their roof analysis does indicate and incorporate
12 the effects of constraints of rooftop equipment
13 shading and what not.

14 So, some of the cases mentioned, like a
15 true high-rise apartment building that's 20
16 stories certainly would have a lot of constraints
17 to meet the load, so that that would be accounted
18 for in some way.

19 MR. SONTAG: Yeah. And also on this as
20 well, since Sean mentioned the additional cost to
21 mount, one of the handy things with these net
22 benefit charts for the PV only is that this is in
23 dollars per watt, so in an example we have a net
24 benefit of, you know, \$2.00 per watt, if you add
25 an extra 80 cents of cost, for example, you could

1 see if it's still cost effective or not.

2 MR. STRAIT: Neihimiah asks, "It appears
3 that the analysis value, itself, uses electricity
4 at the same rate as imported energy. Can you
5 clarify why you assume the same price for self-
6 used as for imported?"

7 MR. SONTAG: Yeah. That is consistent
8 with how a lot of rates were structured
9 currently. It's all based off of your
10 electricity meter rates, so unless you're able to
11 separately meter your PV and storage the meter is
12 going to be, you know, effectively indifferent to
13 whether importing yourself you get a rise in
14 electricity.

15 It's by -- if you're spinning your meter
16 forward, for example, for imports and then you
17 have some amount of self-generation that spins
18 the meter forward to your last (indiscernible),
19 that's all that would be able to be seen from the
20 building standpoint.

21 MR. STRAIT: Tim Kabat has two questions.
22 I'm going to ask them both. First, "For the cost
23 benefit of --" I'm sorry. One question is about
24 the cost of PV and the other is about avoided
25 costs. Their cost benefit of PV question is,

1 "For the cost benefit of PV without and with
2 storage what is the basis for establishing the
3 cost of PV? Costs continue to drop, so is that
4 downward trend captured in the analysis?"

5 MR. SONTAG: I will refer to Don that
6 question, but we did capture some cost declines
7 John was mentioning in the previous presentation,
8 you know, kind of treating now like 2023.

9 MR. ARENT: Yeah, that's right. So,
10 we're looking at costs projected out to the first
11 year that this could be adopted, 2023, so that we
12 did assume a minor cost decline. You know, there
13 is a fair chance that costs will continue to
14 decline after that, but we haven't considered
15 anything beyond that for PV, itself, given its
16 expected life. For batteries we are looking at a
17 steady cost decline through year 10 and year 20
18 for the replacements.

19 MR. STRAIT: And I can add a little bit
20 as well, that we need to prove that it's cost
21 effective basically the first day it goes into
22 effect. So, if someone goes in for a building
23 permit January 1st of 2023, it needs to be cost
24 effective at that moment. If it becomes even
25 better over time, that's gravy, that's nice. But

1 we cannot adopt a law that is not cost effective
2 when someone would be held to that law. So, that
3 kind of sets that basis, and then if we come back
4 in 2025 and costs have dropped even further, then
5 we might come back with another analysis showing
6 that we can increase the standard or shift to a
7 different position at that time.

8 Tim also asks, "For high-rise residential
9 how are avoided costs calculated? Are we
10 assuming each residential unit would have its own
11 battery storage system or would battery storage
12 be distributed via a virtual net metering meter?"

13 MR. SONTAG: I think the -- given the way
14 we've modeled it, it would be, I think, more
15 analogous to a virtual energy metering system in
16 that we had one, you know, (indiscernible)
17 building profile both for the building
18 consumption and PV generation and then the
19 storage would be dispatched between those.

20 MR. STRAIT: Mike Hodgson asks, "How is
21 the building owner's solar net benefit calculated
22 when the tenant is paying for the utility costs?"

23 MR. SONTAG: I think I'll refer back to
24 -- did answer about this previously. You know,
25 we're just looking at the total costs, and so I

1 think it would come down to the building owner
2 and the tenants splitting the benefit on this.

3 MR. STRAIT: Yeah. Let me mark that.
4 Let's see, some of these are shifting around
5 because when people hit that like button it
6 changes the order, but we want to go through in
7 the order they were submitted, so it's a little
8 tricky and I apologize.

9 Karl Aldinger of the Sierra Club asks,
10 "I'm confused how home storage is described as
11 having two hours or four hours of storage. Is
12 the duration of home storage not based on varying
13 home load?"

14 MR. SONTAG: So, clarifying that, that
15 was a good question. So, this might be an odd
16 naming convention saying -- if we say four-hour
17 duration we mean it can discharge at four hours
18 if it's ready at capacity, so if it's a 100-
19 kilowatt battery, a four-hour battery would have
20 400 kilowatt hours in storage, and, similarly, a
21 two-hour battery would be able to dispatch full
22 capacity for two hours.

23 MR. STRAIT: Okay. So, a bit of a term
24 of art there. Let's see. I'm scrolling up. Not
25 that one. Alice Sung asks, "Most of the examples

1 you gave are for medium office buildings. Can we
2 assume you did separate individual analyses for
3 each of the other nonres. types such as
4 educational in your report, and is that report
5 out now?"

6 And I think we've clarified these reports
7 are being developed and they're not ready yet.

8 MR. SONTAG: Yes. The reports here, this
9 is only for climate zone 12. You know, it shows
10 the small school building profile. So, we do
11 have results for this in our slide deck that is
12 public, and then our sheet maps here do show that
13 the small school size in these that -- for the
14 different building types.

15 MR. STRAIT: Yeah. I think part of the
16 answer, too, we aren't -- we didn't look at each
17 and every individual category of commercial
18 structure that's currently included in the
19 building code. We made some assumptions for some
20 of them where they made sense. So, we are
21 conducting the same in-depth study for all of
22 them, so some can be seen right away to have
23 additional challenges.

24 Alice also asks, "Is the E3 developed
25 tool for solar plus storage that you developed

1 for the Energy Commission publicly available
2 yet?"

3 MR. SONTAG: I believe it is. If you go
4 to the docket site, let's see, bring that up
5 here, there's a link you can follow that has the
6 reports on it. I'm not aware that if the model,
7 itself, is presently available for download, but
8 you can double check on that app. after the
9 meeting. Certainly, the intent is that it would
10 be publicly available and downloadable.

11 MR. PRICE: It's downloadable already,
12 Mike.

13 MR. SONTAG: Okay.

14 MR. PRICE: So, we can close that.

15 MR. STRAIT: Tom Conlon is following up
16 on earlier clarifying question. Let's see what
17 this looks like. "Is it reasonable to assume
18 that the PV and storage cost reductions will
19 remain similar to one another over time, even
20 though storage is a much less mature technology?"

21 MR. SONTAG: I --

22 MR. STRAIT: I can add that I don't think
23 it's necessarily so relevant what the long-term
24 projection of cost is because, again, what we're
25 interested in is it cost effect gen. one in 2023,

1 but, nonetheless, if you have some additional
2 input to share.

3 MR. SHIRAKH: That's the premise, that it
4 is cost effective in gen. one 2023 given the
5 state of the technology. And then we can also
6 look to the future, and I think John Arent
7 demonstrated that if we need to replace the
8 equipment after 10 years, which in my opinion is
9 very conservative. These batteries will probably
10 last more than 10 years. But even if we replace
11 them after 10 years, you know, we can project
12 what those costs might be at that time.

13 So, we are using the cost at the points
14 in time that are relevant to this analysis, and
15 even with the conservative assumptions you have
16 PV plus battery storage is cost effective on the
17 effective date of these standards.

18 MR. STRAIT: Let's see. We've got some
19 of these jumping around a little bit. Some of
20 these are just comments rather than questions, so
21 I'm trying to pick out the technical questions.

22 Shraddha Mutyal asks, "Will load
23 management benefits be considered to be included
24 in the cost effectiveness analysis?"

25 MR. SONTAG: I'll assume that load

1 management would be for, you know, there are
2 flexible loads and what not outside of battery
3 storage. And in the present framework, you know,
4 our scope isn't going to look at battery storage
5 for this. Certainly, you see benefits from that
6 could be applied to other flexible loads. I'm
7 not sure, Mazi, if you have a better sense of how
8 that would be actually be -- or how that would
9 come into play for the actual codes.

10 MR. SHIRAKH: I mean, again, you're
11 correct. We're using, you know, TDV and actual
12 rates to demonstrate cost effectiveness. And if
13 there are additional benefits we can incorporate
14 them, but it seems like in a -- using the tools
15 that we've always used we can demonstrate that
16 these are cost effective at this point in time.

17 MR. PENNINGTON: So, this is Bill. I'd
18 like to add to that.

19 MR. SHIRAKH: Please go ahead.

20 MR. PENNINGTON: The TDV values are
21 essentially addressing that hourly value of the
22 load shift that's occurring from -- by using the
23 batteries. So, it inherently is evaluating the
24 load management benefits of the batteries. So, I
25 think that's what the questioner was asking

1 about.

2 MR. SHIRAKH: Thank you, Bill.

3 MR. STRAIT: And I apologize. I'm
4 turning off the ability to upload questions, only
5 because it rearranges the ordering of them and as
6 much as I do want to make sure we answer all the
7 questions that people find to be valuable, I want
8 to be fair about answering in the order that we
9 received them, so I apologize for that.

10 Shraddha also had the question, "Sorry if
11 I missed this, but what is the building type used
12 for the TDV analysis you showed?"

13 This was asked pretty early on in the
14 presentation, so I think it might have been
15 covered, but could you speak to that?

16 MR. SONTAG: Yes. So, most of the
17 results I was showing are for medium office. But
18 the key maps below do show for this one
19 configuration all of the building types, and then
20 we do show each of the building types in climate
21 zone 12, if anyone is curious to look at this
22 after the slides are published.

23 MR. STRAIT: All right. Now we've got a
24 couple of questions that are really about TDV, so
25 I'm going to get into those. The first is, "Are

1 the CPUCs new social cost of carbon values
2 included in TDV yet?" And these might be
3 questions for Mazi.

4 The TDV that we established was done back
5 in March, so this isn't a presentation that's on
6 updating or altering that analysis, and that is
7 -- all of that information is available.

8 MR. SHIRAKH: That was -- actually our
9 first workshop on TDV was about a year ago this
10 time.

11 MR. STRAIT: Yeah.

12 MR. SHIRAKH: October of 2019, and we
13 had, I think, one or two more subsequent
14 workshops, actually two more. And the last one
15 was March 27 of 2020 where we presented our final
16 workshop for both natural gas and electricity,
17 which included several enhancements on both
18 sides. So, those all have been posted. The
19 reports and everything are on line, so that's
20 what we're using from here on.

21 MR. STRAIT: Yeah. We have a similar
22 question. George Nesbitt is asking, "Has the
23 retail adder been changed to reflect the time of
24 use schedule?"

25 MR. SHIRAKH: Actually, if you look at

1 the graph that's in front of you, you'll see that
2 the retail adder, which is the blue, is actually
3 changing. In the middle of the day it's dipping.
4 It used to be a flat line across, so, yes, that
5 has been changed.

6 MR. STRAIT: Brian Finn is asking, "Does
7 natural gas TDV account for increased methane
8 admissions from certain technologies like
9 tankless water heaters?"

10 And I believe there was, as you said, the
11 leaks in buildings are accounted for the TDVs, so
12 I believe that's already been answered.

13 MR. SHIRAKH: Yeah, the leaks in
14 buildings are accounted for, so --

15 MR. SONTAG: Yeah. The numbers aren't
16 specific to a given appliance.

17 MR. STRAIT: Oh, Kelly Cunningham
18 actually has a question, "On the proposed
19 framework for nonres. EV for compliance credit
20 slide what does the acronym LCFS stand for?"

21 MR. SONTAG: My apologies for not
22 defining that. LCFS stands for load carbon fuel
23 standarding, and that's the program run by the
24 California Resources Board to incentivize, you
25 know, in electric vehicles and other low carbon

1 fuels.

2 MR. SHIRAKH: It would be good to spell
3 that out, Michael.

4 MR. STRAIT: Tim Kohut with American
5 Institute of Architects asks, "What was the time
6 of use rate used for the cost effectiveness
7 analysis?"

8 MR. SONTAG: Yes. So, the TOU rates we
9 used for the actual utility retail rates. So,
10 the TDVs were one side of this. And next we do
11 show a table for each climate zone and building
12 type of what -- so this table shows which climate
13 zone corresponds with which utilities. If there
14 are multiple utilities such as, you know, climate
15 zone 12 has both PG&E and SMUD, we ran both and
16 then this defines in the Appendix, again, for
17 each building type. This is the peak load of the
18 buildings and then we sized the relevant retail
19 rates off of that based off of what was most
20 recently available as of a couple weeks ago.

21 MR. STRAIT: Okay. I'm just going to
22 take -- there are four questions left here. I'm
23 just going to take a few of these. We do need to
24 keep moving on.

25 Beverly had a follow up. "Can you tell

1 me how methane is captured from buildings?"

2 I just want to clarify what we're saying
3 is that the effects and impacts, the costs of the
4 leaks in buildings is accounted for in TDV, or
5 we're not talking about physical capture in any
6 sense. And if you'd like detail about how it
7 does that, it is in the published TDV report that
8 Mazi was referring to.

9 Ted Tiffany asks, "Will you publish these
10 results with greenhouse gas or time-dependent
11 source energy results?"

12 MR. SONTAG: Yes. That's one of our next
13 steps to do. That's a great question. Thank
14 you. So, as we refine the sizing, we'll publish
15 that in the next round for the next workshop.

16 MR. SHIRAKH: This is Mazi again. We
17 need to nail down the baselines first in we
18 talked about the previous sections. And then I
19 think Michael suggested that we are kind of
20 settling on a NEM scenario with exports on
21 avoided costs and a couple of options in there
22 for, you know, where to keep the export, at what
23 level, five or 10 percent. Once we kind of
24 settle on those then we can start developing
25 numbers for the source energy based on those

1 numbers. We'll present them in the November 19
2 workshop.

3 MR. STRAIT: Tom Kabat has a suggestion
4 for changing TDV, and I just want to reiterate
5 that the TDV has already been set in prior
6 hearings, so this isn't something that we're
7 going to be discussing at this workshop.

8 MR. SHIRAKH: I agree.

9 MR. STRAIT: And Beverly was asking what
10 we mean by -- like are we saying for EV charge
11 the charging rate goes up in early evening. I
12 think what's being said, and I'm just going to
13 get a little bit in front of this, is we know
14 that the behavior of people varies as not always
15 -- while rates are a motivating factor, it's not
16 the sole factor.

17 So, there are likely going to be folks
18 that as soon as they get home from work will
19 habitually plug in their vehicle to charge either
20 because they're less rate sensitive or they have
21 additional needs.

22 So, if you want to go into a little more
23 detail about how the behavior components were
24 determined for EV charging, you could do so for
25 Beverly's benefit.

1 MR. SONTAG: Yeah, I'll do the best I
2 can. Modeling is down by some of my colleagues
3 here, but we take a lot of driving behavior from
4 I believe it's the -- one of the, I believe, one
5 of the National Transportation Associations.
6 There really isn't a lot of great data on --
7 public data on EV charging generally, so we
8 assume a lot of, you know, typical driving
9 behavior, you know, length of trip, time of trip
10 during the day, and then couple that with how
11 large the batteries are, and, you know, allow
12 some amount of price sensitivity in it and some
13 amount of, you know, the population that's not as
14 price sensitive. And, you know, this is spread
15 out over, you know, tens of thousands, if not
16 hundreds of thousands of PVs.

17 So, you know, there certainly are, you
18 know, many -- a lot of UV charging in this model
19 that does happen in residences in the middle of
20 the night and during the day, you know, given
21 less price sensitivity currently and less
22 controls which I think reflects the state of the
23 market currently. There is a little bit expected
24 UV charging for residences in the evening.

25 MR. STRAIT: All right. That handles the

1 questions that have been typed in on this, so I
2 think we can move on.

3 MR. SONTAG: Thank you for the questions,
4 everybody, and thanks for your attention and
5 interest.

6 MR. BOZORGCHAMI: So, this is Payam
7 again. So, Mazi, will you be sharing some slides
8 on the cleanup language which is coming up for
9 2022?

10 MR. SHIRAKH: Yes.

11 MR. BOZORGCHAMI: Sure.

12 MR. SHIRAKH: Just one second, and let me
13 do one more thing. Can everyone see this?

14 MR. BOZORGCHAMI: Perfect, Mazi.

15 MR. SHIRAKH: Okay. So, this is the
16 homestretch now. And the last thing we're going
17 to do is do some cleanup of our language.

18 You know, we developed a PV and related
19 -- battery storage and related documents a couple
20 of years ago that was adopted, and at the time,
21 you know, we worked with the stakeholders and
22 tried to do the best that we can to develop a
23 language that works. But, you know, now we've
24 had some experience with the code actually being
25 implemented.

1 So, with that, you know, I think we are
2 ready to go back and revisit the language and
3 make some changes that will make these
4 requirements easier to implement and, also, avoid
5 awkward situations.

6 So, one area that we're going to actually
7 make some changes, I go with the order. Number
8 one is make sure PV sizing equation is consistent
9 with 2022 TDVs. You know, the sizes that we came
10 up for 2019 standards, we're using the 2019 TDVs.
11 Now that we have new TDVs, we're going to rerun
12 the equation and that might change the size
13 slightly. I don't think it's going to be a big
14 change, but it will be some change.

15 Number two is new exception for PV
16 systems that are less than two-kilowatt DC per
17 building. And the reason for this is that, you
18 know, our research is showing that below 20
19 kilowatt the cost of the PV system actually goes
20 up significantly because of soft costs and the
21 fixed costs that are associated. And, also, in
22 fact, some installers have indicated they may not
23 install PV systems that are less than two
24 kilowatt per building.

25 It also may address the issue we have

1 with the auxiliary dwelling units, or ADUs, may
2 resolve that issue.

3 We have several exceptions in the current
4 language, and I think they need revisions and
5 clarifications and maybe we could even get rid of
6 some of them.

7 For instance, exception one is basically
8 we're going to change that to say that PV systems
9 are not required to be larger than what can be
10 installed in the available effective annual solar
11 access areas. It gives the intent of that
12 exception, but it's not very clear. So, you
13 know, there's been a lot of debate. So, we're
14 going to make that clear that, you know, if there
15 are rules in there that you cannot -- you can
16 count internal shading, like adjacent buildings,
17 hills, trees, you know, that kind of obstruction,
18 if they cause a situation that the effective
19 annual solar access areas are limited, then --
20 and it's greater than 80 square foot, then you'll
21 be installing as much PV as available on the
22 roof.

23 Things that will not count toward this
24 limitation are things that are under a builder's
25 control like chimneys, skylights and things like

1 that.

2 Given the changes we're proposing under
3 subparagraphs two and three, we may be able to
4 get rid of three exceptions. Exception two
5 currently is for climate zone 15 because it has
6 an exceptionally large PV requirement.

7 Exception three is for two-story
8 buildings. Exception four is for three-story
9 buildings. And we think that we can actually
10 eliminate these three exceptions if we implement
11 paragraphs two and three correctly. So, that
12 language will be presented in the next workshop.

13 We probably need new exceptions, one for
14 occupied roofs, as they are flat patio areas that
15 are very common and popular in some multi-family
16 buildings, and the current language doesn't
17 really address that really well.

18 And, also, we may need a new exception
19 for areas that have snow loads. We do have some
20 certain areas of the state up in the Tahoe area,
21 Truckee where there's very high snow loads and we
22 need to address that, too.

23 Section 10-109 (k), that's the PV
24 determination. This language was in there for
25 2019 standards which allows certain situations

1 where the PV's cost effectiveness is determined
2 to be different than what we had envisioned. You
3 know, we had, for instance, one jurisdiction in
4 northern California, Trinity, where they have --
5 their power comes from largely very inexpensive
6 hydro in a region of six or seven cents a
7 kilowatt hour which makes PVs not cost effective.
8 So, you know, we created this for those
9 situations, but, you know, I think we can improve
10 that language a little bit further.

11 Another important section was 10-115.
12 That's the community solar. You know, we had one
13 applicant that came forward so far, that's SMUD,
14 and through interactions with them and some new
15 potential applicants I think we've learned a lot.
16 And we had very extensive public comment when we
17 were considering SMUD's community solar
18 exceptions about the limitation on the total PV
19 amount that can be available to this option, and
20 also the location of PVs relative to where the
21 end use may be.

22 So, you know, we'll be considering those
23 comments and revising this language. And we're
24 also open to any other changes that you all may
25 propose.

1 We have two documents that are -- they're
2 related, JA-11 is the requirements for PV
3 systems, and again, you know, we've learned
4 through experience that this can use some clean
5 up. On system orientation there's some confusion
6 between prescriptive and performance
7 requirements. We'll eliminate that.

8 The solar assessment tool, the amended
9 language based on lessons learned from prior
10 approval of solar. You know, we've approved
11 several solar assessment tools, and in the
12 process, you know, we have interacted inherently
13 with the people who have developed these tools
14 and the comments we've received, and we think we
15 can create a clearer list of functions that
16 people can use for approval of their systems.

17 We also -- you know, you've been seeing
18 these terms being used in these and other
19 presentations: annual solar access, effective
20 annual solar access, and effective annual solar
21 access areas. They kind of look familiar, but
22 they each mean a little bit different things, and
23 they haven't been clearly defined in Part 6. We
24 have some language in the compliance manuals to
25 explain these, but we think we need to move them

1 into Part 6. And, again, if you all have any
2 other suggestions related to JA-11, we'll be
3 looking at those, too.

4 JA-12 is the installation requirements
5 for battery storage, and, again, you know, we
6 have learned some lessons.

7 One thing we'd like to explore is
8 allowing credit for stand-alone battery storage
9 systems. For buildings that end up not having a
10 PV system, currently we don't allow any stand-
11 alone battery storage systems, but maybe it's
12 time, you know, we revisit that assumption,
13 because battery storage system, even without PV,
14 if it's controlled properly it can definitely
15 bring advantages to the grid, and maybe even the
16 homeowner.

17 We may revisit round-trip efficiency
18 requirements in JA-12, but the biggest thing is
19 probably number three. You know, we have three
20 control strategies currently in the standard, the
21 basic time of use and advanced DR. I think
22 Michael in his presentation he mentioned several
23 times, you know, another strategy that may
24 actually bring more benefit to the grid.

25 So, we will be looking at improving or

1 enhancing these control strategies, or perhaps
2 even adding one. One possible additional control
3 strategy is one that actually optimizes around
4 carbon emissions. So, we'll be looking at that,
5 too. And, again, any other suggestions that
6 people might have.

7 So, I think that basically concludes the
8 formal presentation, and I'll be happy to take
9 any questions on the material that I just
10 presented, and then we can move to the general
11 public comments.

12 MR. BOZORGCHAMI: Mazi, we have Nehemiah
13 who has his hand raised. I'm going to unmute
14 him. Nehemiah, please state your name and your
15 affiliation, please. You have to unmute
16 yourself, too, Nehemiah.

17 MR. STONE: Can you hear me now?

18 MR. BOZORGCHAMI: Perfect.

19 MR. SHIRAKH: Yeah.

20 MR. STONE: Nehemiah Stone, Stone Energy
21 Associates. Mazi, can you bring up slide 12? I
22 think it's 12.

23 MR. SHIRAKH: Slide 12, let me see.

24 MR. STONE: It was the one that had items
25 seven, eight, nine, ten on it.

1 MR. SHIRAKH: Okay.

2 MR. STONE: The one before JA-11.

3 MR. SHIRAKH: The one before --

4 MR. STONE: That's the one.

5 MR. SHIRAKH: This is the one.

6 MR. STONE: Right. So, item seven there,
7 you know, I urge you strongly not to delete
8 (indiscernible - skip in audio) that weakens the
9 language. On the one that I know that was
10 approved, Trinity, as you mentioned, much of
11 their power currently comes from hydro, but a
12 deeper examination shows that they have a second
13 choice -- a second place on that, and they could
14 at any time no longer get nearly the hydro that
15 they're getting. So, it's an iffy situation.

16 And if you look at the history on what
17 they've gotten, where their power has come from,
18 it has not always been primarily hydro. So, if
19 anything, I would urge you to tighten up the
20 language so that exceptions like that where it's,
21 you know, the last five years, yeah, they've
22 gotten a lot from hydro, but before that they
23 didn't always, and in the future they clearly
24 won't always. So, again, tighten it up, don't
25 loosen it.

1 MR. SHIRAKH: We're not talking about
2 loosening it, Nehemiah, we're just trying to see
3 if we can write it in a way that it's easier to
4 understand, implement and enforce.

5 MR. STONE: In that case, add a longevity
6 element to it so that it isn't -- you're not
7 looking at a short snapshot, but, you know, to
8 clarify that this has to be a long-term
9 sustainable energy cost that they're comparing.

10 MR. SHIRAKH: To be clear, actually, I
11 didn't do this analysis, Chang did, but Bill
12 Pennington is on line. We did look at the whole
13 30-year performance. We did look at the rate
14 forecasts over the life of the project, so we
15 already have that element in there. But again,
16 we're not talking about loosening this up by any
17 stretch.

18 MR. STONE: Thank you.

19 MR. BOZORGCHAMI: We have a comment by
20 Ted Tiffany, and it says, "Mazi, what do you
21 consider battery storage control types for heat
22 pump water heating or other thermal storage
23 technologies?"

24 MR. SHIRAKH: Yeah, I mean, you know, we
25 are interested in any and all strategies that

1 help us maximize self-utilization. So, you know,
2 we will provide the tools through our software so
3 other technologies will have an opportunity to
4 compete. But, you know, each technology has its
5 advantages and disadvantages. The battery
6 storage is more expensive, but it also is a very
7 effective tool for shifting load.

8 We have other strategies like thermal
9 storage that are lower cost but, you know, they
10 don't impact the entire load of the building.
11 They just impact the segment. So, I mean, an
12 ideal situation would be where we have all these
13 options in there, we define what the performance
14 targets should be, and the building owners and
15 the architects, designers will decide which tools
16 to use to comply with the standards, and we are
17 striving for that.

18 MR. BOZORGCHAMI: Mazi, there's another
19 comment by Laura Rosenberger. "Is electric
20 induction for cooking stoves more precise or give
21 the highest temperature under the burning point
22 of cooking oil?"

23 "According to the UCLA study, noxious
24 emissions from gas stoves when stovetop and oven
25 are used simultaneously had violated outdoor

1 pollutant standards, especially in small
2 apartments.”

3 “Also, I measured with my own air
4 monitors unsafe levels of PM 2.5 near a few
5 grills. Let us extend that to restaurants. A
6 few Mexican restaurants have unsafe outdoor air
7 quality at 1.5 to two times the outdoor PM 2.5
8 emissions. The corn oil on the grill was
9 emitting fumes. One said they do not charbroil.”

10 So, that was a comment that came to us.
11 Thank you.

12 Michael Malinowski, “I would like to
13 comment on Part 11 CALGREEN reach codes for both
14 low-rise residential and high rise.

15 Michael, would you like me to unmute you?

16 MR. SHIRAKH: If he’s muted how is he
17 going to say yes?

18 MR. BOZORGCHAMI: Yeah, I don’t know.

19 MR. MALINOWSKI: Thank you. Can you hear
20 me?

21 MR. BOZORGCHAMI: Yes. Could you state
22 your name and affiliation, please?

23 MR. MALINOWSKI: My name is Michael
24 Malinowski and I’m an architect speaking on
25 behalf of my firm Applied Architecture today. In

1 our work over the last 40 years we've seen the
2 dramatic shift in the last couple of years away
3 from what seemed like some solutions like instant
4 gas hot water heaters toward electrification.
5 And I believe in the last year-and-a-half or so
6 there are now products in the marketplace that
7 make it completely feasible and cost effective to
8 use all electric designs for basically all
9 single-family projects and, certainly, any one-
10 or two-story new office or commercial buildings.
11 And I would encourage California Energy
12 Commission to include consideration for that as a
13 requirement.

14 But I do understand that there's the
15 possibility that electrification will end up
16 still in the reach code, and I would encourage
17 the California Energy Commission in two areas.
18 One is to support the integration of the zero-
19 code amendment that's been proposed by AI
20 California as a tool to create greater
21 consistency across the landscape in California
22 where we have three dozen cities currently using
23 reach codes to achieve decarbonization and many
24 more dozens considering it. And I would also
25 request that the California Energy Commission

1 consider development of a reach code for use for
2 those communities that want to use
3 electrification as a climate action tool.

4 And again, the goal is to create
5 consistency because as dozens more cities and
6 counties adopt reach codes, having them each
7 write their own reach code creates an environment
8 where costs are higher, compliances more
9 difficult. We have less consistency and we have
10 a lot of effort being spent without much -- so
11 I'd like a little feedback on what the plan is in
12 regards to reach code development in CALGREEN and
13 potential for electrification, at least on some
14 entry level building types.

15 MR. SHIRAKH: I did present a slide
16 earlier this morning what our suggestion is going
17 to be for reach codes for Part 11, and that's
18 this paragraph down here is that, you know, we're
19 proposing to include heat pump water heater and
20 more efficient windows in the standard design,
21 which can be met with either this option with
22 heat pump water heater and more efficient windows
23 or heat pump water heater and heat pump space
24 heater. This could be considered like a Tier 1
25 approach. The Tier 2 could be basically heat

1 pump water heater and space heater, both as a
2 requirement.

3 Again, we do have pre-emption issues here
4 to worry about, and, so, it's not entirely clear
5 that, you know, we can require heat pump water
6 heater and space heater in a way that doesn't
7 allow any gas appliances in that building. So,
8 we've got to be a little bit mindful of that.

9 So, I don't know, Bill Pennington, Peter,
10 if you have any additional thoughts on this.

11 MR. STRAIT: Sure. I'd say one of the
12 trick things about providing a cost effectiveness
13 assessment for local jurisdictions is that if we
14 have a robust finding of cost effectiveness we
15 had available then we would probably at this
16 moment say let's put it in the code.

17 A lot of what we propose are things that
18 we expect as people are talking about falling
19 costs over time. Things we think are likely to
20 become cost effective after the code is in force
21 that the local jurisdiction can say as of today
22 we're able to make this finding and we've done
23 some of this leg work, and we only have to look
24 at our particular climate zone. We can really
25 carve ourselves out and say this is where we are.

1 But that type of general analysis is what feeds
2 into each iteration of the building standards.

3 And it is kind of frustrating to wait
4 those three years every time and know that we
5 never have benefit to do everything that we would
6 like to.

7 What we're trying to do with CALGREEN
8 specific to electrification is really start it up
9 because we're looking at what the local
10 jurisdictions that did that have done, and we're
11 trying to see, you know, what their lessons
12 learned are, bake those into some of the model
13 language they can pull off the shelf.

14 But there is a reason why we've said that
15 if you really want to move all the way to a ban,
16 if you are going to do so as an efficiency
17 measure, then you are going to need to stay
18 inside the box that (indiscernible) has spelled
19 out for what an efficiency measure looks like.

20 If you are looking to do so on using
21 police powers on an air quality basis or some
22 other factors, then that might be a route where
23 instead of interacting with us you're interacting
24 with some other entities and that might be a
25 smoother path forward for that. But just

1 switching fuel types absent some changes in how
2 the market and how the legislature, you know,
3 values these things, balances the cost to the
4 consumers.

5 In addition, you know, every time CPC
6 changes rules, then compensation changes,
7 incentive programs, tax incentives change, we
8 have to be very conservative to make sure we're
9 not creating a regulation that harms people.
10 Local jurisdiction we've found can be more nimble
11 with regard to those.

12 So, it's very -- we are interested in
13 working with local jurisdictions to do that, but
14 it is very challenging to put together those
15 analysis in a way that really stands that test.
16 So -- I'm sorry. I was a little bit rambling
17 there, so I apologize.

18 MR. MALINOWSKI: Thanks for the feedback.
19 It's helpful.

20 MR. SHIRAKH: Any other questions, Peter
21 or Payam?

22 MR. BOZORGCHAMI: I just had Joe Cain
23 raise his hand. I'll unmute you and then we'll
24 go back to the questions and answers. Joe just
25 shut down. Okay.

1 MR. STRAIT: All right. I can hop into
2 the Q and A. Tim Kohut with the American
3 Institute of Architects, and I believe that's who
4 the AIA is. I know there's also a lighting group
5 of AIA, but I don't think that's them.
6 "Induction cooking. The current standards do not
7 provide a means for gaining credit. Will this be
8 changed in future standards for multi-family
9 residential code or a credit for built-in plug
10 loads?"

11 MR. SHIRAKH: Yeah. That's on our to-do
12 list, to create a compliance credit for induction
13 cooking.

14 MR. STRAIT: And I'll also say that for a
15 lot of things that are basically modeling and
16 software-only changes we can always improve our
17 software to accurately model something that it
18 currently doesn't have a lot of information
19 about.

20 For example, if we are looking at
21 improving our model of how the presence of an
22 induction stove impacts the energies of the
23 building. We don't necessarily have to wait for
24 a code update to make some of those improvements,
25 but again, it's just a matter of making sure the

1 software is accurate.

2 When we look at providing credit that's
3 kind of more of a yeah kind of a thing, that's
4 where it goes to the regulatory process. But we
5 are looking at every opportunity we have to
6 incentivize some of these measures without
7 departing too far from a physics-based assessment
8 of the impact and energies that that measure has.

9 MR. SHIRAKH: Two things that we have on
10 our to-do list is the compliance credit for
11 induction cooking, and the other one is a credit
12 for heat pump clothes dryer.

13 Currently the only alternative to a
14 natural gas clothes dryer is an electric
15 resistance which doesn't do well on TDV. But if
16 we can come up with a heat pump water heater
17 alternative, then you'll do really good both on
18 TDV and source imaging basis, although it's kind
19 of a rare appliance and more costly, but, you
20 know, things change.

21 MR. STRAIT: Beverly DesChaux asks, "Are
22 you considering load shifting by slowing
23 electricity going to heat pumps, thermostats and
24 bi-directional charging on electric vehicles?"

25 And I can step in a little bit on these

1 topics if other people -- but I want to give
2 other folks a chance to answer first.

3 MR. SHIRAKH: For nonresidential
4 buildings, yeah, we are thinking about providing
5 the credit for the recharging. I didn't quite
6 understand the other part of the question. Can
7 you repeat that?

8 MR. STRAIT: As typed it says, "Are you
9 considering load shifting by slowing electricity
10 going to heat pumps, thermostats and bi-
11 directional charging on EV?" Bi-directional, I
12 believe, meaning that they're also grid
13 accessible and acting as battery storage.

14 MR. SHIRAKH: Well, we haven't considered
15 that option. It came up before. The problem is
16 we can't grant compliance credit to a device that
17 can drive away. We want it to be bolted to the
18 wall or something.

19 So, you know -- and we've got to keep in
20 mind that when you grant compliance credit they
21 can use that to trade away your wall insulation,
22 attic insulation, roof deck insulation or put in,
23 you know, not such good windows.

24 So, if that is going to happen, we want
25 to make sure that those benefits will stay with

1 the building. And you cannot guarantee that when
2 a car is involved because it can drive away.

3 So, yeah, it's a -- you know, it's a good
4 idea but, again, we are trying to protect
5 building envelope as much as possible and only
6 provide tradeoff opportunities if it really is
7 warranted, it's reliable, and you'll stay there
8 for the duration of the building.

9 The thing about insulation is you'll be
10 there for 50, 60 or how many years that the
11 building is going to be there. And, so, we've
12 got to be really careful what kind of tradeoffs
13 we allow.

14 MR. BOZORGCHAMI: Peter, I'm going to
15 transition over to Joe Cain real quick.

16 MR. STRAIT: Sure.

17 MR. BOZORGCHAMI: We've got a couple of
18 raised hands here.

19 MR. STRAIT: Yeah. We can handle those
20 and then come back to some of the things in the
21 question box.

22 MR. BOZORGCHAMI: Go ahead, Joe. Please
23 state your name and --

24 MR. CAIN: Hello. Joe Cain, Solar Energy
25 Industries Association.

1 Mazi, on slide 11, which I think is your
2 first cleanup slide, you have -- you had the idea
3 of the two-kilowatt threshold for an exception.
4 It took us a while to understand last cycle that
5 the formulas and tables for prescriptive PV size
6 were not a minimum allowable in a performance
7 approach. So, I just wanted to know how much you
8 thought through how would that two kilowatt be
9 determined so that the threshold could be
10 applied. Is that what the software says is the
11 ideal size or the needed demand? How is the two
12 kilowatt decided that you figure out which side
13 of that threshold you're on?

14 MR. SHIRAKH: So, on the two kilowatt, I
15 mean, this just could be an exception.

16 MR. CAIN: Mazi is muted.

17 MR. SHIRAKH: Am I muted? Can you hear
18 me?

19 MR. STRAIT: Yes, we can hear you.

20 MR. CAIN: Yes.

21 MR. SHIRAKH: So, the idea would be to
22 actually provide an exception that exclusively
23 says, you know, for a given dwelling unit or a
24 building the required PV size is less than two-
25 kilowatt DC, then that building is exempt from

1 the PV requirements.

2 The way we determine that is that -- and,
3 again, we can maybe adjust this number slightly
4 up or down, but the absolute minimum PV size is
5 about one-and-a-half kilowatt, even for like a
6 200 square foot building. That's because the
7 plug loads are fixed.

8 And, so, we ran into some situations
9 where people had like a 800 square foot or 600
10 square foot dwelling units and, you know, the PV
11 size for those buildings are, depending on the
12 climate zone, about 1.8, 1.9, and people were
13 saying that they were having a difficult time
14 finding someone who would even come out there and
15 install, you know, a one-and-one-half kilowatt PV
16 system.

17 And the costs actually go up dramatically
18 and we assume \$3 a watt for our prescriptive size
19 PV size, but as you go down in size, then the
20 cost actually goes up significantly because of,
21 you know, the soft costs and the fixed costs
22 involved.

23 So, that's the general idea but, you
24 know, we'll work with you, Joe, you know to
25 determine what the proper size should be, and,

1 you know, this is just a draft proposal at this
2 time.

3 MR. STRAIT: On the Q and A, Pierre
4 Delforge actually raises an important point. We
5 are still, I think, at the moment looking at
6 questions on the cleanup change that we're
7 proposing. Cleanup changes are necessarily
8 fairly broad category, so there's a lot of things
9 that we could talk about in terms of tweaks, or
10 amendments, or updates we might want to make
11 under that umbrella. But I don't think we're in
12 the phase of having just general open commentary
13 quite yet, because I want to make sure that
14 everyone's questions or comments on specifically
15 the cleanup changes that have been presented, or
16 at least in that arena, are heard before we get
17 more general. So, thank you for asking that,
18 Pierre.

19 MR. BOZORGCHAMI: And, Mazi, we have Ben
20 Davis. Ben, I'm going to unmute you, and please
21 state your name and affiliation, please.

22 MR. DAVIS: Ben Davis, California Solar
23 and Storage Association. On the community solar
24 cleanup I have a few questions.

25 The first one was, Mazi, you mentioned,

1 and I didn't quite catch it, that there was
2 considering limiting location, and then you said
3 something else that I didn't catch. I was
4 wondering if you could --

5 MR. SHIRAKH: The size of the resource.

6 MR. DAVIS: Right.

7 MR. SHIRAKH: There was a lot of comments
8 that we didn't have size or limit on the resource
9 size that could have been a thousand megawatts.
10 So, people were worried that, you know, we're
11 really talking about utility scale systems, not
12 community.

13 And the idea of community solar, people
14 are commenting that, you know, it should actually
15 be fairly close to the development and it
16 shouldn't be a utility scale PV system. And, so,
17 those were like two of the comments was make sure
18 that this system that actually goes in that
19 qualifies as a community solar actually
20 represents the spirit of being a community solar,
21 not a central utility scale PV system.

22 So, we heard that we think there's some
23 truth to that, and we're proposing to consider
24 those in the revised language.

25 MR. DAVIS: Great. Yeah, that sounds

1 right to me, and actually the meeting is -- you
2 chose to have that meeting as your background,
3 Mazi.

4 MR. SHIRAKH: That is the one, yeah.
5 Actually, it's interesting. It was on the Google
6 that somebody posted on Google.

7 MR. DAVIS: My other two questions on the
8 community solar piece is are you considering
9 adding a provision to allow customers to unenroll
10 from the community solar program if they wanted
11 to?

12 MR. SHIRAKH: Yes.

13 MR. DAVIS: Okay. And then my last
14 question is for entities that have community
15 solar programs up and running and then 2022
16 building standards come out do they need to make
17 changes and resubmit their program or their
18 community solar program, or will it be
19 grandfathered?

20 MR. SHIRAKH: I think with each cycle of
21 standards the applicants should come and put in a
22 new application, and that's my understanding.
23 But Bill Pennington is actually the expert on
24 this area. Bill, do you have a different
25 opinion?

1 MR. PENNINGTON: So, I think it's well
2 taken that we heard a lot of comments in the SMUD
3 project, in the SMUD application, and, you know,
4 there was a fairly wide range of views
5 represented there, and so, my perception is we're
6 going to look at all those views and make
7 proposals.

8 So, the topic areas that you've mentioned
9 I think are topic areas we should think about,
10 sure.

11 MR. DAVIS: Thanks, Bill. My question
12 was more specifically, let's say some changes are
13 made. Will SMUD then need to re --

14 MR. SHIRAKH: Yes.

15 MR. DAVIS: Okay, great.

16 MR. SHIRAKH: To comply with the 2022
17 standards they need to reapply, and, you know,
18 determine that their community solar requirement
19 actually complies with the 2022 standards.

20 So, my answer at this point is that, yes,
21 they have to come back in. I'm again asking Bill
22 if he has a different opinion.

23 MR. PENNINGTON: There's nothing express
24 in our regulations that says this, but it makes
25 sense that if the regulations change, the program

1 should adjust, so, I mean, that makes sense to
2 me. We should -- we need to talk it through and
3 vet it.

4 MR. STRAIT: I would actually add that we
5 can find ways likely to streamline their
6 attesting to following any new guidelines that we
7 put in place as a result of the 2022 rulemaking,
8 so, this wouldn't be -- ideally, at least, this
9 wouldn't be like starting from scratch. This
10 would be more saying that the features of our
11 program might have been changed to keep up with
12 what the standard is now requiring, or saying
13 that the structural program already does need
14 these criteria that you've now added, and,
15 therefore, we are still kind of cleared for
16 takeoff.

17 So, we can work with folks that have
18 community solar programs to try to find ways that
19 streamline process, but there would likely be
20 some attestation that they comply with any
21 updates that we make going into 2023.

22 I do want to cut in. There was one
23 question from someone. Margie Chen asks, "Can we
24 still sign in to make a comment?" And the answer
25 is yes. We have yet to open the floor to general

1 public commentary. When we do, you can raise
2 your hand and we will allow you to speak. You
3 can also submit comments to us in writing. We're
4 trying not to create too many channels here for
5 written comments. We want to keep the written
6 question and answer log about questions on the
7 presentations, but we are -- there are still
8 upcoming opportunities to provide public
9 commentary, so, these are coming in.

10 MR. BOZORGCHAMI: So, next, I'm going to
11 open up Jean. I'm going to do the raised hands
12 and then we're going to go back to the Q and A's
13 and then we'll come back to the raised hands
14 again. I'm trying to keep a balance going.

15 MR. SHIRAKH: Are we on the general
16 question and answer or are we still on this
17 topic?

18 MR. BOZORGCHAMI: On this topic, I believe,
19 Mazi.

20 MR. SHIRAKH: Okay.

21 MR. BOZORGCHAMI: Go ahead, Jean. Please
22 state your name and affiliation.

23 MR. LONJARET: This is Mr. Lonjaret with
24 the Sustainability Commission of La Mesa.

25 Just a brief comment about JA-11, and

1 interrupt me if it should be in the general
2 comments and I'll do it then.

3 If I understand it well, JA-11 allows
4 installation of solar panels facing north up to
5 or maybe even farther than 50 degrees away from
6 their optimal orientation which would be south
7 and at 34 degrees. Within his own system,
8 including a better -- including better oriented
9 panels, to the owner it may seem harmless, but
10 it's a massive loss in efficiency and it's a poor
11 carbon abatement investment considering the high
12 embodied carbon in fillable tank panels.

13 So, if we're serious about extracting
14 efficiencies wherever we find them, and we're
15 spooked by even single axis tracking, then we
16 still have easy options to save what's left of
17 the capacity factor of solar panels.

18 For example, rather than discouraging
19 pitch installations, we should encourage them,
20 and we could incorporate south-facing roofs as
21 possible into new building design and, if
22 possible, 34 degrees.

23 So, presently JA-11 is really loose and
24 we could make much progress there for such an
25 important part of the State's climate action,

1 which is PV. Thank you.

2 MR. SHIRAKH: So, maybe I can respond to
3 that briefly and maybe Danny has something to
4 add.

5 So, as, you know, as we have on the
6 screen here there is some confusion, discrepancy
7 within prescriptive requirements and performance
8 requirements. I think JA-11 limits the
9 prescriptive installation to, and I'm speaking
10 from memory, pardon me, but I think it's 110 to
11 300 degrees from true north. Again, I'm speaking
12 from memory, but give or take. But, as you
13 mentioned, so prescriptively you can't deviate
14 from that.

15 When you go performance, you can actually
16 orient your PV in any direction you want.
17 However, there is a heavy penalty to pay as you
18 deviate significantly from south or southwest.
19 The optimal orientation is about 200 degrees.
20 This is all driven by TDV, and the value of TDV
21 really drops significantly as you deviate
22 significantly from 200 degrees. And also, the
23 kWh production goes down as you deviate and go to
24 north.

25 So, you know, yeah somebody could put

1 their PVs on a north orientation, but they have
2 to put a PV system that's maybe twice as big.
3 And, so, there's really a financial penalty for
4 doing that. And I think users of the software
5 will soon realize that the closer they stay to
6 south or southwest, the smaller PV system and the
7 smaller the cost.

8 So, you know, there is some mechanisms
9 built into the software to discourage deviating
10 from the optimum orientation, but I agree, that's
11 the whole point of this exercise is to revisit
12 these assumptions and requirements and see if we
13 can do it in a way that makes more sense.

14 MR. HEDRICK: Mazi.

15 MR. SHIRAKH: Yes.

16 MR. HEDRICK: This is Roger, Roger
17 Hedrick from NORESKO.

18 So, as part of our analysis that we were
19 working with E3 is we looked at PV tilt and
20 orientation tradeoffs, and what we found is that
21 as you lay the PV panels flatter, you can
22 actually get more production out of a given area
23 of roof.

24 MR. SHIRAKH: Yes.

25 MR. HEDRICK: It requires more panels,

1 but if roof area is your limiting factor, then
2 laying your panels flatter as low as zero degrees
3 will get you the most production and TDV benefit
4 from a given area of roof.

5 And, so, it's a question of what you are
6 trying to optimize on, you know. Clearly, that's
7 less optimal in terms of per panel production,
8 but it's better in terms of overall roof, you
9 know in terms of per roof. And, so, it depends
10 on what you're looking to maximize.

11 MR. LONJARET: So, that's when roof tilt,
12 itself, roof pitch, itself matters so much,
13 because if you already have a south 34-degree
14 roof, then you can lay your panels flat. It's
15 cheaper and that's really optimal.

16 MR. HEDRICK: Right, that's true, but
17 most nonresidential, you know, commercial
18 building roofs are flat, and so the tilt -- any
19 tilt angle that has to be built into the racking
20 system that you're mounting the panels on.

21 MR. TAM: This is Danny. I just want to
22 clarify what's actually in J-11. So, J-11
23 prescriptively it says if there's a pitch greater
24 than 10 degrees to 12, then it has to be between
25 90 to 300. So, if it's flatter than that it

1 could be any orientation.

2 MR. SHIRAKH: All right.

3 MR. TAM: And if it's also at that range
4 then you need to do performance. But like Mazi
5 said, you've got to take quite a bit of
6 performance hit when it's north.

7 MR. SHIRAKH: Hello.

8 MR. BOZORGCHAMI: Sorry.

9 MR. SHIRAKH: Any other questions?

10 MR. BOZORGCHAMI: Yeah, we've got Tim.
11 Tim, I'm going to unmute you and please state
12 your name and affiliation.

13 MR. KOHUT: Thanks for unmuting me. Tim
14 Kohut. I am the director of sustainable design
15 for National Community Renaissance. We are a
16 developer/builder of affordable housing.

17 I've got something for general comment,
18 and I'll save that for later, but community
19 solar, Mazi, if you would consider our goals in
20 trying to design, build and then operate
21 affordable housing are to lower the costs as much
22 as possible, and we have been -- we've been
23 building and we're starting to put online our
24 first zero net energy buildings today in advance
25 of the 2019 Energy Code because we figured out

1 the economics of renewable energy a couple years
2 ago.

3 But what would very much benefit us is if
4 the door could be open for community solar to
5 allow us or a consortium of affordable housing
6 developers or any developer to tie deed-
7 restricted land elsewhere in the utility
8 territory to a project which would then allow us
9 to actually place all the PV we need at ground
10 level where it could be easily maintained and
11 cleaned, lowering costs, lowering risk. And I
12 know it doesn't exist yet. I hope the door could
13 be open because we have some really nice, big
14 parcels that are utility tied that we would love
15 to be able to clean up and lower our costs
16 further.

17 I'll save the rest of my comments for
18 general comments later.

19 MR. SHIRAKH: So, let me comment on that.
20 I think Bill may want to chime in.

21 So, you can put all your PVs on a plot
22 adjacent to a development. The question is how
23 do you deliver those electrons to the individual
24 dwelling units. And --

25 MR. KOHUT: Mazi, how about -- I'm

1 talking about remote, so it would be in the same
2 utility region. We would install a V-NEM meter
3 for each --

4 MR. SHIRAKH: Okay.

5 MR. KOHUT: -- smaller section on that
6 property, and then we would deliver the electrons
7 to SoCal Edison's grid and they would then go
8 around and be shared in the neighborhood, but we
9 would pull our -- we would get credit on that 20
10 miles away at our property sites.

11 MR. SHIRAKH: So --

12 MR. PENNINGTON: So, this is Bill
13 Pennington. I'm wondering if we could have a
14 side conversation --

15 MR. SHIRAKH: Yeah.

16 MR. PENNINGTON: -- so we could
17 understand what your thinking is and, you know,
18 what kind of engagement have you had with
19 Southern California Edison about this idea.

20 MR. KOHUT: Yeah, I'd be happy to do
21 that, Bill. Thank you.

22 MR. SHIRAKH: Yeah, I think that's a good
23 idea. There may be some opportunities here.

24 MR. BOZORGCHAMI: Thank you. Something
25 has gone funny with my system, but somehow I

1 unmuted Tanya. Go ahead, Tanya. State your name
2 and your affiliation, please. You have to unmute
3 yourself.

4 MS. BARHAM: Hi. Thank you. My name is
5 Tanya Barham. I'm with Community Energy Labs and
6 a member of the Building Decarbonization
7 Coalition.

8 I just had some questions. I apologize.
9 I was on another meeting so had to join quite
10 late.

11 I'm seeing that you have a lot about
12 battery storage ready, however, that's a pretty
13 reasonable upfront cost for a lot of building
14 owners. I'm wondering what other demand
15 flexibility and sort of flexibility readiness
16 updates there are in the draft?

17 MR. SHIRAKH: So, the requirements we
18 have for battery storage is actually pretty
19 minimal. It's this. It's some panel
20 requirements, larger panel to accommodate all
21 electric end uses and PVs and EVs and all that,
22 and then identification and isolation emergency
23 circuits and then making sure that these
24 modifications will be compatible with both
25 battery storage system and the backup generator.

1 So, this is pretty minimal, and our estimate for
2 cost is less than \$100 per building.

3 So, that's what we currently have. If
4 you have any other suggestions, again, I think
5 I've repeated this several times, is that our
6 strategy is to use any and all technologies, load
7 shifting strategies, storage strategies to
8 maximize self-usage of the PV generation and
9 minimize exports back to the grid. And we will
10 give a credit according to its TDV performance on
11 an annual basis, and then the building's owners,
12 architects will decide which one of these
13 strategies to use based on the cost and the
14 benefit and all the other aspects of these
15 technologies.

16 So, again, we're open to other
17 strategies. We need to know what they are and
18 what loads they impact, and we'll calculate the
19 TDV benefits, and we can assign as credit and let
20 people use from an assortment of technologies.

21 MR. STRAIT: And I'll actually add to
22 that that we do have a separate office that's
23 right now tasked with load management and grid
24 integration standards following new language that
25 was added to the Warren Alquist Act.

1 As their work becomes -- moves from the
2 conceptual down to some specific guidelines for
3 various products and circumstances, then we can
4 expect to see those be the basis for associated
5 credits in the software, if not for additional
6 rule changes in 2025, but they're still spinning
7 up some of their work.

8 So, yes, it is something that the Energy
9 Commission as a whole is paying attention to. It
10 is something we are going to be actively
11 incorporating into the software as more and more
12 of these techniques become creditable, but
13 they're not at such a point where they're going
14 to be directly informative of the 2022 amendments
15 to more than the degree that Mazi has already
16 shown.

17 MS. BARNHAM: Thank you. One comment I
18 just have for sort of to have on your radar, and
19 I'm sure that that group is probably aware. Due
20 to the -- maybe it's we should say hopes or
21 dreams of manufacturers and OEMs who, you know,
22 if I think you were to look that up, a smart home
23 or a connected home, you know, I don't know if
24 it's just that Samsung truly believes that
25 everyone will only ever want to buy their light

1 bulbs and, therefore, all of their wireless stuff
2 only works in their ecosystem, et cetera. All of
3 these connected devices, there's a lot of waste
4 in how we use energy, particularly with heating
5 and cooling, as we all know. But if we're
6 forcing flexibility to each go through private
7 OEM's API, that's a very expensive, time
8 consuming and fragmented way to try to cost
9 effectively control or shape loads.

10 And, so, looking at open standards for
11 data, data categorization command and control
12 gradients that should be integrated into controls
13 such as CTA 2045, I think are very, very key and
14 important pieces to making nonchemical, nonmined
15 energy storage or flexibility a much more cost-
16 effective means of flexing.

17 And we've seen at the CAISO level that
18 load flexibility, when people just turn stuff
19 off, even if it's manual, can have a huge impact
20 on the resource adequacy mix. And, so, being
21 able to do that autonomously has a lot of
22 promise, but it will never be done if every
23 single device in the building has to be connected
24 through its own proprietary app or API. They all
25 use different data structures. They all use

1 different communication protocols. They all use
2 different command protocols. And that's
3 something that can be fixed. We've done it with
4 USBs. We've done it with other ports and
5 standards, and I hope that the State will take a
6 close look at applying a similar communication
7 control and data transmission standard to demand
8 flex. Thank you.

9 MR. TAM: This is Danny. We recently
10 approved a compliance credit for demand flexible
11 heat pump water heater JA-13. So, in there this
12 code requires CTA 2045 as well as being
13 compatible to open ADR.

14 So, we are aware. We are trying to make
15 it compatible with open center as much as much as
16 possible.

17 MS. BARNHAM: Wonderful. Thank you.

18 MR. BOZORGCHAMI: I'm going to unmute
19 you, and after Tom we're going to go right back
20 to the questions and answers and then maybe open
21 up for open discussions.

22 MR. CONLON: Can you hear me?

23 MR. BOZORGCHAMI: Yes, go ahead, Tom.

24 MR. CONLON: Thank you. I just wanted to
25 draw our attention back to --

1 MR. BOZORGCHAMI: I'm sorry. I have to
2 ask you to state your name and your affiliation.

3 MR. CONLON: Tom Conlon, Geo
4 (indiscernible). To go back to the cleanup items
5 number two, Mazi was discussing the exemption
6 being considered for solar systems PV systems
7 below two kW and addressing the ADU issuing. And
8 while I'm very intensely aware of the importance
9 of State policy of building a lot more ADUs --
10 I'm, in fact, building one myself right now --
11 I'm concerned that if you were to go forward with
12 an exemption as I see it described here, that you
13 effectively kill in its infancy the market
14 potential for an appliance that would be a
15 standalone modular kind of micro PV system that
16 could be coming to market between now and 2022.
17 And I especially think that that could be
18 compatible with your consideration of the credit
19 for a standalone battery storage system as well.

20 I just -- I think that while the barriers
21 you've experienced and some homeowners have
22 experienced with the new 2019 -- new to them 2019
23 code implementation on these smaller units, it's
24 because the industry, the solar industry is all
25 tooled up to deal with a much bigger type of

1 customer.

2 But if you -- if you throw this exception
3 in you really will never get a product in that
4 segment, and I think there's market potential for
5 a cost-effective appliance, basically, that could
6 fill that niche.

7 So, I'd like you guys to take a look at
8 that issue before you implement such an
9 exception. I hope that comment makes sense.
10 Thank you.

11 MR. SHIRAKH: You probably need to give
12 us more information about these products. I mean
13 we need to know if they're available, cost
14 effective and they'll be available actually on
15 the effective dates. So, to the extent that you
16 can provide some additional information to us
17 we'd appreciate it.

18 MR. BOZORGCHAMI: Thank you. Thanks,
19 Mazi. Peter, do you want to take over the
20 questions and answers?

21 MR. STRAIT: Sure, I can do that. Some of the
22 ones that are outstanding, we have two questions from a
23 Barbara regarding how to ensure transition for any
24 plumber whose work is reduced due to fewer gas pipelines
25 in new buildings, and she suggests, for example,

1 requiring piping for using reconstituted water for
2 nonpotable purposes. I think that is outside of the
3 considerations of this workshop, but, yes, we are looking
4 at a lot of the equity questions surrounding a lot of
5 this. Other than that, though, I don't have a specific
6 answer that I think we can give.

7 Does anyone else want to try to speak to that?

8 MR. TAM: We constitute water. It's not
9 actually measured as a water saving measure. It's in
10 Part 11.

11 MR. STRAIT: We've got a question -- Tom
12 specified a follow up on PV2 exception but does not
13 specify what the question is. Tom, if you can type it
14 in I can get to it, so I'll dismiss that.

15 Tanya Barnham is asking, "How can I be more
16 involved in those conversations without" -- again, I'm
17 assuming in context this made more sense, but, Tanya,
18 could you be more specific and I'd be happy to answer it.

19 David Friedman is asking "Are we planning any
20 additional electric-ready requirements such as for
21 cooktops, electric clothes dryer and heat pump water
22 heaters since the panel will be upgrading the addition
23 plugs should have minimal additional costs?"

24 I can speak to that, or if anyone on the panel
25 would like to speak to that?

1 MR. SHIRAKH: Go ahead, Peter.

2 MR. STRAIT: Sure. So, we actually are keeping
3 a close eye on electric-ready requirements. We saw those
4 as an element of several local ordinances, and we do see
5 those as, in a certain sense, low hanging fruit. So,
6 those will be driven in part by where we ultimately land
7 on, you know, the electric baseline and the Title 24
8 options, but it's likely for places where gas equipment
9 is allowed. We are looking at whether we can, given the
10 cost effectiveness constraints that we have, pair those
11 with outlets that can serve electric equipment in the
12 future.

13 So, the current structure we're considering is
14 something similar to solar ready requirements, so we
15 already know roughly how to do that, but again, it's
16 going to be driven by these bigger decisions about this
17 equipment, and for those areas we are likely to
18 incorporate some amount of electric readiness into the
19 code.

20 MR. TAM: Heat pump water heater ready is
21 already in the 2019 code. We require three conductors,
22 10-gauge wire mixed plug to the water heater if it's a
23 gas water heater. So, that should be relatively easy to
24 convert to 240 for a heat pump water heater.

25 MR. STRAIT: And Tanya is asking for demand

1 flux open standards how she can make sure that open
2 standards for demand flux are adopted.

3 I can -- if you reach out to any of our staff
4 we can put you in touch with the folks that are part of
5 our load management office and they can guide some of
6 that since they're involved in some of their own
7 activities. We can put you in touch in them.

8 Scott Blunk was asking a question, "Given that
9 clothes dryers can also leave the home, as well as EVs,
10 wire EV is different than clothes dryers."

11 You know, the question is a little bit oddly
12 phrased, but, Mazi, do you want to answer that, or I can
13 kind of talk about some of those differences if you think
14 it would be helpful?

15 MR. SHIRAKH: That is actually a good comment.
16 I mean, there is an issue because, yeah -- is this Scott
17 Blunk from PG&E? Long time no see -- oh, TRC. I'm
18 sorry.

19 Yeah, I mean that's a good question because in
20 giving credit to appliances like refrigerators and
21 clothes dryers, again, it is risky because they can walk.
22 So, that is an asterisk when you think about it. By
23 contracts when you're talking about a cooktop, I mean,
24 that's more difficult. It's kind of fixed. It's set in
25 some one place.

1 So, yeah, that is a good point.

2 MR. TAM: Another problem, EV at the time of
3 permit. How do you know the owner is going to have it
4 green? There's no way to know.

5 MR. SHIRAKH: There's no way to know, if you
6 know, there is a dishwasher or a refrigerator but, yeah,
7 those are all good comments and it kind of goes to our
8 concern that, you know, you provide compliance credit for
9 appliances that may or not be there or may or may not
10 perform and then use that to strip away the roof deck
11 insulation. That is always a cause for concern for us.

12 MR. STRAIT: So, Alice actually raises the
13 point that -- a couple of people are asking if we can
14 move to general comments. We don't -- this is the last
15 of the questions we have on the presentation in the
16 question and answer box, so I would be comfortable moving
17 on if other people are.

18 MR. SHIRAKH: Okay.

19 MR. BOZORGCHAMI: So, let's open it up. I see
20 Dana Paki already raised her hand. So, Dana, when I
21 unmute you state your name and your affiliation, please.
22 Give me one second. Something just happened. Here we
23 go.

24 MR. STRAIT: I would add for folks that are --
25 have some time constraints, we want to be fair and make

1 sure everyone gets a chance. We don't want to create a
2 path for folks to jump the line. But we are able to
3 receive written commentary. If you want to email
4 comments to staff, we can then read those comments into
5 the record, so there are opportunities to get your voices
6 on the record and heard by staff and leadership, even if
7 you can't stay on the call.

8 MR. BOZORGCHAMI: I apologize. Hold on one
9 second. Something just happened.

10 MR. STRAIT: Do we want to move to the next
11 commentator while we try to sort out what happened?

12 MR. BOZORGCHAMI: Brian Finn, please state your
13 name and --

14 MR. FINN: Hi. My name is Brian Finn. I work
15 at Bright Power in Oakland, California. We're an energy
16 services retrofit contractor.

17 We're pretty much writing the book on multi-
18 family low- and high-rise heat pump water heater
19 retrofits, and then from there I'm moving on to full
20 electrification retrofits, at least here in the Bay area.

21 And with that knowledge that we've accumulated
22 I can't help but feel a little dissatisfied with some of
23 the heat pump ready requirements and some of the
24 anticipation about where our built environment is heading
25 in this code. I find some of it to be lackluster.

1 I think electrical constraints are, of course,
2 important, but there are a number of different factors
3 that are excluded from the discussions that we've had
4 today and previously that when a gas system is installed
5 into a multifamily building tomorrow in code that is
6 acceptable tomorrow, that means that I have to clean up
7 trash in 30 years and pay an extra \$200,000 to implement
8 the world saving solutions that I work for every day.

9 And, so, I can't help but think that there is a
10 disconnect between what it actually takes to do this work
11 and what is being considered under a new construction
12 code.

13 I've been working in Title 24 modeling since I
14 was 13 in Micropas. I'm currently 29 and working on this
15 for the rest of my life, so I'm not going anywhere. And
16 I can tell you for my generation and my age group that it
17 is disappointing that as the memories of our childhood
18 falls down as ash around us that this is still being
19 considered at all. Thank you.

20 MR. STRAIT: Thank you. One quick follow up
21 question I saw on the Q and A. "How do we submit written
22 comments?" If anyone needs to submit written comments,
23 the instructions for doing so are in the notice for this
24 proceeding. There's a portal on our website that can be
25 used for that, or if you email any of our staff and

1 request that we assist in docketing your comments we can
2 assist you and we can do so.

3 MR. BOZORGCHAMI: John, go ahead. Jonny
4 Kocher, go ahead and state your name and your
5 affiliation, please.

6 MR. KOCHER: Thank you. Good afternoon. My
7 name is Jonny Kocher. I'm with Rocky Mountain Institute
8 in the Oakland office, an independent nonprofit working
9 to shift towards a low carbon future.

10 All Californians have experienced a devastating
11 impact to the climate crisis in the last two months, so
12 we all know the need for rapid action to reduce our
13 carbon emissions.

14 Luckily, California has been a leader on
15 climate with statues and executive orders requiring
16 California to reach carbon neutrality by 2045 and to
17 eliminate the sale of new internal combustion engine cars
18 by 2035. However, California still has no plan to reduce
19 direct emissions from buildings.

20 Today's workshop highlights the need for the
21 California Energy Commission to build up the State's
22 climate leadership and the 34 cities that have adopted
23 electrification reach codes and enact policies that will
24 set the stage on a path to eliminate the combustion
25 fossil fuels from buildings starting with new

1 construction.

2 During the workshop today, analysis presented
3 used the TDV metric which uses cost as the basis of
4 analysis, not energy, so it does not properly account for
5 the mission's impact for measures.

6 For years, time dependent valuation has
7 disincentivized builders for fuel switch forcing many
8 builders to install natural gas equipment for their
9 buildings or risk not complying with code.

10 Using this as metric to analyze whether all
11 electric measures are, in fact, to continue to give --
12 will continue to give natural gas an unfair advantage
13 over electric alternatives.

14 It's time for the California Energy Commission
15 to align analysis with reality and use time dependent
16 source evaluation emissions evaluation to evaluate the
17 impact of different design measures. Such analysis would
18 show that all electric buildings are far more effective
19 than mixed field buildings in reducing emissions.

20 In addition to reducing emissions, an all-
21 electric baseline would create safer healthier buildings
22 for building occupants and would stop expansion of
23 natural systems that would inevitably become a stranded
24 asset when we eventually transition off fossil fuels.
25 Therefore, the Commission would move forward with

1 adopting an all-electric baseline in the 2022 code cycle.

2 Thank you.

3 MR. BOZORGCHAMI: Thank you. Jonny.

4 MR. SHIRAKH: Let me just quickly respond to a
5 few points that was brought up here.

6 During this workshop, you know, we mentioned
7 several times that we have two metrics, source energy and
8 TDV. We also mentioned that for this workshop we're
9 going to be only considering TDV, but for the November 19
10 workshop we'll have thresholds for both TDV and source
11 energy. So, you know, we just want to make clear that
12 this is -- we have two metrics here and both will be
13 used.

14 And the intention of having two metrics is to
15 actually have a limit on the carbon emissions from the
16 building using the source energy and then using the TDV
17 to achieve those goals, those carbon goals in the most
18 cost-effective way possible and in a way that is grid
19 harmonized.

20 So, you know, we've made this fact known
21 several times today and in previous workshops, and I just
22 wanted to make clear that the final product is not just
23 the TDV, and it will include source energy. Thank you.

24 MR. BOZORGCHAMI: Thank you, Mazi. Wes, I'm
25 going to unmute you. Please state your name and

1 MR. REUTIMANN: Hi. Can you hear me?

2 MR. BOZORGCHAMI: Perfect. Go ahead, sir.

3 MR. REUTIMANN: Wonderful. Thank you. Hi, Wes
4 Reutimann with Active San Gabriel Valley. We are a
5 playspace nonprofit organization in the city of El Monte
6 in East Los Angeles County. Our mission is to support a
7 more sustainable, equitable and livable San Gabriel
8 Valley. The central San Gabriel Valley includes a number
9 of communities, including the cities of El Monte, South
10 El Monte, Bassett, Baldwin Park and Avocado Heights that
11 are among the most pollution burdened in the state of
12 California according to Cali EPAs CalEnviroScreen 2.0.

13 Residents of these cities suffer from some of
14 the worst air quality in the United States with
15 devastating local health impacts and disparities, high
16 rates of asthma and other respiratory illnesses, as well
17 as cognitive impairments, some cancers and even obesity
18 have all been linked to exposure to high levels of air
19 pollution which are far too common in our region.

20 The economic costs of these health disparities
21 is billions in associated health care and diminished
22 productivity to Los Angeles County.

23 Equally troublingly, a recent study of indoor
24 air quality among many older homes and apartments in our
25 area found that indoor air quality was even worse within

1 these environments and outdoors, particularly during the
2 colder months of the year, when windows are more likely
3 to remain closed. Making matters worse, after decades of
4 steady improvements, air quality in the south coast air
5 basin has been on the decline over the past decade, and
6 climate change is expected to exacerbate this problem
7 even further.

8 Currently the San Gabriel Valley averages about
9 32 days a year where daytime temperatures exceed 95
10 degrees Fahrenheit. According to UCLA researchers, this
11 number could skyrocket to an average of 74 days per year
12 by 2050 and an average of 117 days per year by 2100.
13 That would be five months of the year.

14 A hotter future with less rain will make it
15 harder to clean our air and improve the health of already
16 disadvantaged pollution burning communities.

17 As a community-based organization that's
18 committed to improving the health and well being of
19 residents of East LA County, Active SGB strongly urges
20 you to require electrification of new buildings as an
21 affordable means to create healthier homes and act on the
22 climate crisis.

23 We also urge you to consider the health costs
24 of not adopting a strong electrification standard and
25 making people's homes safer and healthier.

1 Thank you for your time and consideration.

2 MR. SHIRAKH: Thank you.

3 MR. BOZORGCHAMI: Thank you, Wes. Abby Young,
4 we're going to unmute you. Please state your name and
5 affiliation, please.

6 MR. TAM: One thing. I put up the comment
7 docket website here. We will be posting all these and
8 this information will be available at a later time.
9 Unfortunately, I'm not able to make it happen right now.

10 MR. BOZORGCHAMI: So, Abby, go ahead.

11 MS. YOUNG: Great. Can you hear me?

12 MR. BOZORGCHAMI: Perfect.

13 MS. YOUNG: Awesome. Thank you. And I
14 understand that you're going to be having another
15 workshop on the 19th. I probably won't be able to attend
16 so I'm happy to make comments here.

17 Great presentations. Thank you very much.

18 I'm the climate protection manager for the Bay
19 Area Air Quality Management District. The Air District
20 is very supportive of the state going to an all-electric
21 requirement for new construction in this update.

22 As people have been saying, it's much easier to
23 make the transition off of natural gas sooner if we're
24 not continuing to extend the natural gas pipeline with
25 new construction that will continue to use natural gas

1 well past 2050.

2 So, as part of this will the CEC be
3 demonstrating how continuing to allow new construction to
4 use natural gas supports meeting the state's carbon
5 neutrality target by 2045 and the 80 per cent reduction
6 target by 2050. So, trying to see how, you know, these
7 things align.

8 And, finally, wondering if the code, and
9 perhaps this is for a different workshop, but if the
10 update will also address high GWP gases and phasing out
11 the use of fossil diesel backup generators.

12 Yeah. So, thank you.

13 MR. BOZORGCHAMI: Thank you, Abby. I'm going
14 open up to Tim. Tim, go ahead and unmute yourself and
15 state your name and affiliation.

16 MR. KOHUT: Tim Kohut. I am an architect. I
17 am the director of sustainable design for National
18 Community Renaissance. We are a regional
19 developer/builder of affordable housing. We are the
20 second largest developer of affordable housing in the
21 state of California. I think we're the fourth largest in
22 the United States.

23 My role is to identify strategies for achieving
24 the energy requirements for Title 24 for our design teams
25 in a way that drives down operational costs up front, the

1 first costs, and increases operational revenues long
2 term. And I work for a very financially conservative
3 organization that will only make these steps when we can
4 prove that it actually makes sense and doesn't increase
5 costs.

6 And I would just add testimony that going to
7 all electric solutions in affordable housing makes sense
8 today. We have adjusted our pipelines so that all future
9 projects are now looking at centralized heat pump water
10 heating, now that updates are available for the
11 compliance energy modeling tools, which is great, and
12 they work.

13 But most importantly for us, we're looking at
14 the operational economics of this, and if we are looking
15 for cost effective solutions to get to zero net energy
16 for hot water heating. It is much more cost effective
17 and the payback period for a heat pump solution, whether
18 it's individual heat pump water heaters or centralized
19 heat pump boiler system for multifamily housing plus PV
20 is much more affordable than a central gas boiler with a
21 solar thermal system. The payback period for the heat
22 pump plus the PV is probably in the area of six or seven
23 years without any rebates. And the payback period for
24 the solar thermal system in multifamily housing is 20 to
25 25 years at least.

1 So, I'm making the case today that there are no
2 financial barriers to actually doing this today, that
3 what the CEC is doing to, I guess, liberate us and give
4 us more flexibility in performance modeling, especially
5 when it comes to hot water heating solutions and
6 electricity is going a long way and is going to pay
7 dividends. I tell people in my industry that if you're
8 not already on board with zero net energy you are either
9 misinformed, you're a bit lazy or you're just late to the
10 game.

11 So, I commend you guys for what you're doing.
12 I'm happy to share any cost information that we
13 have on the construction side, what we're doing,
14 and we have systems in place. We instrument our
15 buildings so when we occupy them we know that
16 they're actually working.

17 MR. BOZORGCHAMI: Thank you, Tim. I've
18 taken down your email, so we will be in contact
19 with you. Thank you.

20 MR. KOHUT: Great.

21 MR. BOZORGCHAMI: Before I go to the next
22 person I'm going to jump down to Jan. Apparently
23 I may have accidentally, not intentioned, but I
24 may have accidentally unmuted or taken you off
25 the list. So, I'm going to unmute you know and

1 allow you to speak. Go ahead and state your name
2 and your affiliation, please.

3 MS. DIETRICK: Jan Dietrick. I'm chapter
4 leader for Ventura Citizen's Climate Lobby.

5 We've been paying a lot of attention to
6 our Ventura County General Plan Update and
7 Climate Action Plan was just adopted with the
8 reach code for prohibition of gas connection in
9 new construction residential and commercial.
10 We're extremely happy with that.

11 We face so much difficulty challenging
12 really false narrative propaganda from SoCal Gas
13 and their friends in the fossil fuel, very
14 substantial power structure in our county. And,
15 honestly, this is not right. I just can't --
16 there needs to be some sanction on this because
17 it's so hard on our elected officials, planning
18 commissioners, the staff. It's extremely
19 disunifying to our community. They target people
20 that don't have the time to begin to vet all the
21 things that they're saying. We know that we have
22 to end reliance upon burning fossil fuels. That
23 was very well commented on by the representative
24 from the Rocky Mountain Institute. Many people
25 don't know about the pollution in their kitchens

1 and the health harms from cooking with gas.

2 So, we don't just need the reach code
3 statewide. I mean we need the all-electric
4 building code statewide. We need to be moving on
5 from that now, already like overdue to
6 decarbonize existing buildings and looking
7 particularly at the buildings near freeways and
8 disadvantaged communities which we have here.

9 And, you know, how do we incentivize and
10 support families to get that pollution out of
11 their homes, and especially thinking about what
12 are we looking at now with the vulnerabilities in
13 this pandemic. We're just setting people up for
14 the worst-case scenario.

15 So, we need movement on this, and we need
16 the policies for fuel switching, you know,
17 throughout our buildings. And, so, I urge you to
18 move ahead as fast as possible with this, and
19 also to regulate somehow the propaganda coming
20 from at least I know personally from SoCal Gas
21 that's tearing our communities apart trying to
22 oppose this inevitable fuel switching transition.
23 Thank you.

24 MR. BOZORGCHAMI: Thank you, Jan. So,
25 due to the scheduling and time I'm going to

1 implement a two-minute rule just to make sure
2 that we capture everyone's concerns and comments.
3 So, from here on I'm going to open it up for you,
4 William, and please state your name and
5 affiliation and unmute yourself.

6 MR. LEDDY: Can you hear me?

7 MR. BOZORGCHAMI: Yes, perfect. Thank
8 you, sir.

9 MR. LEDDY: I'm William Leddy. I'm an
10 architect and vice president of the Climate
11 Action for the American Institute of Architects,
12 California. I'm here representing AI California
13 and its 11,000 architect members across the
14 state.

15 As we all know, science tells us that we
16 have only 10 years to radically reduce the carbon
17 dioxide emissions of our buildings if we are to
18 have any hope of mitigating the most severe
19 catastrophic climate impacts.

20 As much as our energy codes already lead
21 the nation we believe that they are not
22 responding quickly enough to meet this greatest
23 challenge of our generation. We must take more
24 aggressive action to change codes rapidly now.

25 As Governor Newsom said a few weeks ago

1 about climate action, our goals are inadequate to
2 the reality we're experiencing.

3 So, I'd just like to make a couple of
4 quick points on behalf of AI California. We
5 strongly support rapid electrification across the
6 state. It's time to stop burning fossil fuels
7 inside our buildings and shift to all electric.
8 This is a rapid movement across the state as you
9 know, and we feel that the State should take a
10 lead in requiring all buildings to be all
11 electric and phasing out natural gas.

12 Second, we strongly support the
13 California Energy Commissions expansion of
14 rooftop solar. We want to urge the expansion to
15 all building types as quickly as possible.

16 Third, we urge the California Energy
17 Commission to adopt the 2022 zero code for
18 California as a statewide reach code. As you
19 know, I hope, it was developed by Architecture
20 2030 to require all new commercial buildings to
21 be net zero carbon through a combination onsite
22 renewal energy and grid based renewable energy.

23 And then finally, I think it's been
24 mentioned several times that we strongly support
25 a just transition from fossil fuels with policies

1 that protect workers in low income communities.

2 As the largest economy in the world and a
3 global leader in climate action California must
4 continue to push aggressively toward a zero-
5 carbon future. Time is short. The world is
6 watching what we do and how quickly we do it. AI
7 California and it's 11,000 members stand ready to
8 work closely with the California Energy
9 Commission to advance this critical effort.
10 Thank you.

11 MR. BOZORGCHAMI: Thank you. Deanna, I'm
12 going to unmute you, and please state your name
13 and affiliation. Thank you.

14 MS. PAURSAI: Hi, can you hear me?

15 MR. BOZORGCHAMI: Beautiful. Thank you.

16 MS. PAURSAI: Hi, I'm Deanna Paursai and
17 I'm a volunteer with Mothers Out Front. I live
18 in San Jose, California, and I'm the mother of
19 two beautiful teenagers, and I'm so truly
20 concerned about their future.

21 On behalf of Mothers Out Front, a growing
22 grassroots movement of 35,000 mothers and others
23 mobilizing for a livable climate for all
24 children, I thank you for hosting this very
25 important meeting.

1 We strongly urge you to adopt an all-
2 electric building code starting in 2022. There
3 is simply no good reason to continue to build
4 with outdated, dangerous and climate
5 destabilizing fossil gas when all electric
6 buildings are safer, healthier, most cost
7 effective and climate protective.

8 Only gas companies and gas utilities
9 benefit from the continued use of fossil gas to
10 power our buildings.

11 We hope that you'll listen to the
12 scientists, the doctors, the nurses and the
13 mothers to move forward to require that all new
14 construction in California be all electric as of
15 2022. It's not sufficient to merely encourage or
16 incentivize that new construction be all
17 electric. Without an outright mandate,
18 incentives are unlikely to result in any
19 significant shift in new construction practices
20 for zero carbon electric construction.

21 This risks the construction of hundreds
22 of thousands more new buildings with gas hookups
23 and the infrastructure to power them locking us
24 into decades of climate pollution and indoor
25 pollution. We simply can't afford for a livable

1 planet for our health and safety of the housing
2 affordability in California to build 300,000 plus
3 new homes and millions of square feet of
4 commercial space fueled by gas for another three
5 years.

6 Thirty-four local California
7 jurisdictions have already adopted local codes
8 that require or strongly encourage electric new
9 construction. It's time for the State to follow
10 suit and blaze the trail for other states.

11 So, the four main reasons that they
12 outlined, I know that we're limited on time, we
13 as Mothers Out Front do strongly urge you to
14 adopt an all-electric building code in 2022 to
15 protect the community and the health and improve
16 supportability, and most of all to preserve a
17 stable climate future. Doing so will provide
18 more affordable, cleaner, healthier and more
19 resilient homes and buildings and protect the
20 most vulnerable Californians. After all, our
21 children will be living, and studying, and
22 working in these buildings for decades. Please
23 do it for them. Thank you.

24 MR. BOZORGCHAMI: Thank you, Deanna.
25 Ron, I'm going to unmute you. Please just state

1 your name and your affiliation. Thank you, sir.

2 Ron, you have to unmute yourself.

3 MR. WHITEHURST: Thank you. My name is
4 Ron Whitehurst. I'm with the Ventura County
5 Climate Hub. We're an organization that
6 advocates for renewable energy, fights fossil
7 fuel development, (indiscernible) food supply and
8 develops community for resiliency

9 We'd like to -- we're really proud that
10 Ventura County's new climate action plan includes
11 the reach codes to prohibit gas connections in
12 new residential and commercial construction, as
13 well as benchmarking reductions in gas use by
14 industrial rate payers.

15 Now that 10 cities in our county, such as
16 thousand Oaks and Ventura, need to follow and
17 adapt similar reach codes.

18 We've been facing so much misinformation
19 and disinformation from SoCal Gas and the unions
20 that they've convinced to come out that it's not
21 fair to our communities to be fighting this
22 industry promotion. So, we'd like to encourage
23 you on the state level to have an all-electric
24 policy and prohibit gas connections on new
25 construction so that it will make our job easier

1 to promote all electric here in our communities.

2 Thank you much for your help and thank
3 you for the opportunity to speak. Thank you.

4 MR. STRAIT: Payam, are you muted?

5 MR. BOZORGCHAMI: I'm sorry.

6 MR. STRAIT: Diane Bailey is going to be
7 next to speak. It looks like you are already
8 unmuted.

9 MR. BOZORGCHAMI: Yeah. Go ahead, Diane.
10 Sorry.

11 MS. BAILEY: Good afternoon. My name is
12 Diane Bailey. I'm commenting today on behalf of
13 the Campaign for Fossil-Free Buildings in Silicon
14 Valley and our 33 member groups working together
15 to accelerate a phase out of fossil fuels from
16 our homes and buildings.

17 I'm speaking in strong support of an all-
18 electric Title 24 building code for new
19 construction in 2022. We need much bolder action
20 to avoid fossil fuel use and help transition our
21 economy to zero carbon. This policy is a
22 critical action to respond to the climate
23 emergency that we're living in right now. Every
24 breath of smoke that we inhale is a reminder that
25 we're in a climate crisis.

1 And California isn't just vulnerable to
2 the fivefold increase of wildfires due to the
3 climate change. Many communities throughout the
4 state also face severe flooding, more intense
5 heat waves, and extreme weather disruptions. We
6 need to accelerate action to cut carbon and get
7 off fossil fuels.

8 Many other commentators have discussed the
9 deeply concerning climate health and safety
10 impacts of fossil gas use, and I know you're
11 aware of these.

12 I want to point out the comments of
13 Beverly DesChaux and Tom Kabat earlier and others
14 about methane leakage were on point and they're
15 important.

16 In addition, methane is a short-lived
17 climate pollutant that makes it so much more of a
18 priority to reduce and avoid right now, as we
19 already have unsafe levels of carbon in the
20 atmosphere driving catastrophic climate impacts.
21 We're over 410 parts per million of CO2 and
22 steadily increasing farther away from safe
23 levels.

24 We should be focused on eliminating
25 fossil gas use to help restore the carbon levels

1 in our atmosphere back down to safer
2 concentrations of CO2.

3 New uses of fossil gas are extremely
4 unwise, making an all-electric code paramount.

5 There are also important equity
6 implications of continued fossil gas use.
7 Pollution from fossil fuel combustion
8 disproportionately affects low income and
9 communities of color that are already
10 overburdened with pollution, and that's
11 especially important now in this era of COVID
12 where the communities of color are also
13 disproportionately suffering from that disease.

14 It's important to extend the all-electric
15 new construction policy statewide from the more
16 than 30 cities that now require it because a
17 failure to act creates an equity disparity
18 between the more affluent cities that have
19 protective policies and the many lower income
20 residents who do not currently live in these
21 areas with the protections against fossil gas
22 use.

23 We want to make sure that all new homes
24 and apartments, including affordable housing,
25 avoid using dirty and dangerous fossil gas.

1 Title 24 should require more efficient and safer
2 all-electric homes for everyone and not just
3 those in the reach code cities.

4 As more and more communities shift to all
5 electric, gas rates are expected to rise sharply,
6 leaving some residents paying much higher utility
7 bills. The base Title 24 building code should be
8 all electric to extend benefits to everyone more
9 equitably.

10 As we become more vulnerable to the
11 impacts of climate, our energy code needs a much
12 stronger approach to address the situation. It's
13 time to stop burning fossil fuels inside our
14 homes and buildings and shift to all electric.
15 This will save people a lot of money in addition
16 to addressing climate impacts and providing safer
17 homes.

18 MR. BOZORGCHAMI: I'm sorry, Diane, you
19 need to --

20 MS. BAILEY: Thank you very much for this
21 opportunity to comment. I hope you'll consider
22 these comments in support of an all-electric
23 Title 24 code in 2022. Thank you.

24 MR. BOZORGCHAMI: Thank you. Thank you.
25 Scott, I'm going to unmute you. Please state

1 your name and affiliation please.

2 MR. SHELL: This is Scott Shell speaking
3 on behalf of the 70 architects and staff at THDD
4 Architecture. We've been designing all-electric
5 buildings for almost 20 years now, up to about a
6 couple hundred thousand square feet, and found
7 that it's an all-around better solution for our
8 clients. It's simpler, it's healthier, it's
9 safer and it's lower cost. So, we're trying to
10 design all our projects now as all electric.

11 We also do about half our work as
12 building retrofits, and this is our biggest
13 concern, as they're much more difficult and much
14 more expensive to fuel switch. Buildings last a
15 long time. You know, they don't turn over every
16 12 years like a car does or a residential
17 appliance does. So, we think it's especially
18 important to quickly transition so that we build
19 them right to start.

20 We don't think the proposals today are
21 strong enough to lead to broad adoption of
22 electrification in new construction in 2022, and
23 so it will push it out to 2025, and, you know, as
24 practicing architects for us that means it
25 actually goes into effect in 2026. There's

1 usually a year or so between submitting for
2 permit and starting construction. Our projects
3 take about two years to construct, so we'll still
4 be finishing projects in 2029 that are mixed
5 fuel. You know, we're still expanding the gas
6 grid for almost another decade. 2029 is only 16
7 years until California's 2045 carbon neutrality
8 date. We've already got a huge task to retrofit
9 millions of buildings in California to fuel
10 switch them to get to carbon neutrality, and
11 adding hundreds of thousands of new buildings is
12 not a good investment for California citizens and
13 for the rate payers that are paying for that
14 expansion of the gas grid.

15 In 2045 most of these new buildings
16 aren't old enough to be ready for a major
17 renovation, so you have an occupied building
18 that's going to be even more disruptive and
19 expensive to retrofit.

20 So, we believe we need a much stronger
21 electrification signal in 2022. We're in favor
22 of all electric wherever it's feasible. I
23 understand this is a faster transition than is
24 typical, but the alternatives are just not cost
25 effective, and we're just out of time. We're up

1 against our deadlines.

2 Finally, I'd just like to make a quick
3 comment on the growing alarm about the health
4 impacts of combustion inside our buildings,
5 especially impacting low income communities of
6 color. They have already experienced much higher
7 levels of pollution and combustion in buildings
8 just compounds on top of that both indoors and
9 outdoors. It's fundamentally unjust. I think
10 this year we've all raised our awareness of that
11 injustice and we just really have an obligation
12 to address that. Thank you.

13 MR. BOZORGCHAMI: Thank you, Tom --
14 Scott. I apologize.

15 MR. SHELL: Thank you.

16 MR. BOZORGCHAMI: Robin, I'm going to
17 unmute you. Unmute yourself.

18 MR. MOLLER: Hi. This is actually David
19 Moller, not Robin Moller, and I'm with the Marin
20 Sonoma Building Electrification Squad, and that's
21 part of the climate reality project. They are a
22 chapter.

23 I want to thank you for this opportunity
24 to provide a few comments. I'll be brief and to
25 the point.

1 I think a few weeks ago Governor Newsom
2 really said it best. It's a climate damn
3 emergency. Simply put, we need emergency action,
4 and the Energy Commission is squarely in the
5 position to take such action. With gas use in
6 buildings responsible for something like 25
7 percent of California's greenhouse gas emissions
8 and electrification of these uses being totally
9 viable as an alternative, you know, there really
10 is no good rationale for further expansion of gas
11 infrastructure or use. None of us can afford to
12 make this climate emergency even worse by
13 enabling the expanded use of natural gas.

14 We strongly urge staff and the Energy
15 Commission to use the 2022 building code update
16 as really the best opportunity to require full
17 electrification of new buildings. Thanks for
18 this opportunity.

19 MR. BOZORGCHAMI: Thank you, sir.
20 Pierre, I'm going to unmute you. Please state
21 your name and affiliation, please. Pierre, you
22 need to unmute yourself first.

23 MR. STRAIT: I think we need to stop
24 saying that we're unmuting people. We can
25 authorize you to speak as we lift the thing on

1 our side, but then it doesn't automatically make
2 your microphone live because that wouldn't be
3 fair to the speaker, so then you have to take a
4 step to also make yourself live. So, we'll try
5 to be better saying to you you're empowered to
6 speak or something. Pierre, it looks like you
7 were unmuted and you then remuted yourself.
8 There we go.

9 MR. DELFORGE: Hello. Can you hear me
10 now?

11 MR. STRAIT: Yes, we can hear you.

12 MR. DELFORGE: Hello.

13 MR. STRAIT: Yes, we can hear you.

14 Pierre, are you able to hear us? Pierre, we are
15 no longer able to hear you. I'm not sure what
16 the technical issue is.

17 MR. DELFORGE: I can hear me, but I can't
18 hear you. Let me make my comment if that's okay,
19 and hopefully we'll solve these audio issues.

20 Let me start again. So, my name is
21 Pierre Delforge with the Natural Resources
22 Defense Council.

23 We thank the Commission for this public
24 process and appreciate your efforts and proposal
25 to abide compliance and standards to all electric

1 buildings.

2 Compliance credits are a step in the
3 right direction, but alone would be insufficient
4 to shift the market to electric new construction
5 without tightening the gas baseline and then
6 showing that gas buildings do their fair share in
7 reducing the climate emissions, the adoption of
8 clean electric technologies will continue to be
9 marginal during the 2022 code period.

10 In normal times we'd go one step at a
11 time with incremental steps every two years and
12 we'd eventually get to zero emissions within a
13 decade. But even in normal times we already
14 seeing massive and widespread wildfires that
15 climate experts were only expecting by
16 midcentury. With climate change accelerating
17 under our eyes we have to accelerate our pace of
18 action if we are to stave up its worst impact.

19 The 2022 code applies to permits that
20 will be pulled from 2023 and buildings that will
21 be built between 2024 and 2026, six years from
22 today. Delaying electrification by another three
23 years would allow buildings with gas until 2029.
24 Can we afford to wait another decade?

25 The technology to power new buildings

1 with clean electricity exists today. It costs no
2 more to install or to operate, actually less when
3 including the compliance incentives proposed by
4 staff and the coming financial incentives from
5 the tech. and SGIP programs.

6 Thirty-four California cities have
7 already adopted clean electric building codes
8 today.

9 So, we support that policy, but public
10 cautions stand in the way of protection. As the
11 Commission prepares for the second workshop we
12 urge staff to use the new source energy metric to
13 set strong decarbonization requirements that
14 actually will lead to broad adoption of electric
15 new construction starting in 2023. Thank you.

16 MR. BOZORGCHAMI: Thank you, Pierre.
17 Ben, would you like to unmute yourself and --

18 MR. GRANHOLM: Good afternoon. Can you
19 hear me?

20 MR. BOZORGCHAMI: Yes.

21 MR. GRANHOLM: Great, thank you. My name
22 is Ben Granholm with the Western Propane Gas
23 Association. We appreciate the opportunity to
24 comment and mention that WPGA supports
25 decarbonization efforts.

1 WPGA is committed to 100 percent
2 renewable propane in California by 2030.
3 Renewable propane is derived from sustainable
4 sources across all sectors.

5 Our organization supports efforts to
6 address climate change. However, we encourage
7 the agency not to adopt an all-electric baseline
8 in the 2022 energy code. Adopting such a
9 baseline is misguided from the standpoint of
10 cost, reliability, and is the only strategy to
11 achieve clean air goals.

12 We believe the strategy outlined today is
13 a nice compromise solution, and we are pleased to
14 see that the current plan will not impact the
15 mixed-fuel baseline.

16 From a cost perspective electric heat
17 pumps are more expensive to buy and more
18 expensive to use. They take longer to disperse
19 heat and cannot match the heating capacity of
20 their propane counterpart. Electric heat pumps
21 perform most poorly in the coolest climates in
22 California which tend to be more rural.

23 An all-electric heat pump baseline in the
24 energy code will fundamentally increase the cost
25 of housing and the communities where cost will

1 rise the most will be where those who are least
2 able to afford it.

3 From a reliability perspective we have
4 seen millions of Californians stranded due to
5 public safety power shutoffs and rolling
6 blackouts. These occurrences are a prime example
7 as to why relying on a single power source is
8 unacceptably risky and accentuate the need for
9 both energy diversity and resiliency across the
10 state, two things that residents will not receive
11 from relying solely on electric. Propane can
12 deliver on resiliency, sustainability and
13 affordability all to effectively address needed
14 admissions reductions.

15 Lastly, we submitted written comments on
16 September 4th which dive further into detail on a
17 number of these points raised today, as well as
18 other issues critical to this discussion.

19 WPGA appreciates your work in this area
20 and we look forward to working with staff on the
21 roll of propane for clean energy security and
22 decarbonization. Thank you.

23 MR. BOZORGCHAMI: Thank you, Ben. Sven,
24 go ahead and unmute yourself.

25 MR. THESEN: Hi. My name is Sven Thesen.

1 I'm speaking on behalf of Project Green Home, by
2 family and my wife.

3 Summary, we are in support of an all-
4 electric base code for all new construction and
5 renovation where feasible.

6 Second, we invite the California Energy
7 Commission, its commissioners and staff to
8 virtually tour home Project Green Home at your
9 convenience. You can contact me to do so. We
10 have had over 4,000 people tour the home to date,
11 and we're not afraid to bring in another 10 or
12 20.

13 As background, for the past nine years my
14 family has lived the all-electric life with an
15 induction stove, heat pump water heater, a
16 radiant floor with energy provided from that heat
17 pump, an electric dryer, photovoltaic panels on
18 the roof and an electric vehicle of different
19 flavors in the driveway.

20 When we compare project green home as a
21 chemical engineer and my wife as a physician we
22 have determined that the all-electric life is,
23 one, safer for us and our children both from an
24 indoor air quality and in reducing the potential
25 for burns, two, less expensive than the dual

1 fueled home both on first and ongoing costs, more
2 resilient during blackouts and earthquakes, more
3 convenient and pleasant, and for the planet, for
4 my children, for the grandchildren that are to
5 come, it has a much smaller energy and carbon
6 footprint than the dual fueled home.

7 And I've got to admit, back in 2008 and
8 2009 when we were planning the house I foolishly,
9 because that's what the architect called me, had
10 it plumbed for natural gas not knowing that these
11 technologies that were in the toddler stage,
12 again this is now 12 years ago, in the toddler
13 stage in the United States were going to work or
14 not going to work, and they all did. They all
15 worked. And my wife, she will not let you take
16 that induction stove out of her hands because it
17 simply works.

18 We implore you to be strong. We are out
19 of time. The world is watching what we are
20 doing. Heck, if this was a movie there are
21 clearly heroes and there are villains here. We
22 need to go to all-electric construction.

23 It was really interesting to hear sort
24 of, again, these partial truths about propane and
25 natural gas being resilient. Today you can't

1 turn on a propane stove without electricity. So,
2 to say that it makes you more resilient is a
3 falsehood, and spreading partial truths like that
4 is not good for any of us. It's not good for the
5 climate.

6 Building electric. I would have saved
7 \$10,000 if I had not been foolish as my architect
8 said I was going to be in plumbed with gas. We
9 need to move now. We can build our construction
10 cleaner, cheaper and faster if we go all
11 electric.

12 I really welcome you guys coming to
13 virtually tour my home pretty much any time you
14 want. I will put the website on the chat as I
15 can under the question section and my email
16 address. Please feel free to ping me for a tour.
17 Thank you.

18 MR. BOZORGCHAMI: Thank you. Lauren, do
19 you want to unmute yourself and tell us your name
20 and your affiliation.

21 MS. CULLUM: Yes, hi. Can you hear me.

22 MR. BOZORGCHAMI: Thank you. Yes.

23 MS. CULLUM: Great. Lauren Cullum,
24 policy advocate with Sierra Club California
25 representing 13 local chapters in California and

1 half a million members and supporters throughout
2 the state. I've also been asked to state that
3 NextGen. is aligned and supportive of our
4 comments here today.

5 I wanted to thank you all for all the
6 work that you're doing to improve California's
7 homes and building, and thank you for improving
8 the capability for modeling central heat pump
9 water heaters to show the benefits of
10 electrification.

11 Modeling shows improving the electric
12 baseline will not only result in cost savings but
13 also more reductions in greenhouse gas
14 admissions. These findings demonstrate the
15 benefits of electrification, and this is why we
16 believe it is so important to make an all-
17 electric baseline the standard for the 2022 code.
18 Moving to an all-electric baseline across
19 building types in the 2022 code is a critical
20 step to enable the state to achieve its climate
21 goals. An all-electric baseline in the 2022 code
22 will ensure that any new homes that are built
23 with gas after 2022 are held to the same
24 greenhouse gas limits as the efficient electrical
25 alternative and help us achieve those targets.

1 The evidence of rapid climate change is
2 abundantly clear and it is devastating. We need
3 our state leaders to establish policies that
4 reflect the urgency of the climate crisis. That
5 means an all-electric code for 2022 and not
6 delaying until the next code cycle. The CEC
7 should use this code cycle to stop digging deeper
8 into the hole on our dependence on dangerous
9 fossil fuels. Putting off an all-electric
10 baseline until the 2025 code cycle means three
11 more years of new gas buildings and
12 infrastructure that will need to be retrofit
13 later at great expense, and which will lock us
14 into decades of climate pollution. At current
15 emissions rates a three-year delay would result
16 in over four million additional metric tons of
17 carbon emissions by 2030 and cost California more
18 than one billion dollars in unnecessary gas
19 infrastructure. We simply cannot afford this.

20 In addition to emission reductions, an
21 all-electric baseline for the 2022 code will
22 improve public health by eliminating a
23 substantial source of indoor air pollution as we
24 learned during last week's workshop on indoor air
25 quality.

1 Building electrification will cut the
2 indoor air pollution and eliminate the health
3 risks caused by gas appliances.

4 To conclude, all-electric new
5 construction is the only feasible path to
6 achieving California's climate goals. And the
7 time to make this switch is now in the 2022 code.
8 We urge the CEC to commit to prioritizing the
9 health of Californians and put the state on a
10 determined path to achieve its climate goals by
11 committing to an all-electric baseline for the
12 2022 code. Thank you.

13 MR. BOZORGCHAMI: Thank you. Dana, I'm
14 going to unmute you, but I want to also
15 apologize. I don't know what happened earlier,
16 so please state your name and affiliation.

17 MS. WATERS: Thanks, Pierre. Can you
18 hear me now?

19 MR. BOZORGCHAMI: This is Payam, but
20 that's okey. Yes, I hear.

21 MS. WATERS: Thanks, Payam. Yeah, thanks
22 everyone. This is Dana Papke Waters with the
23 California Air Resources Board. I'm really
24 pleased to be working with you all and really
25 appreciate each of the presentations today

1 covering CEC's efforts to decarbonize buildings.

2 I just really want to reiterate the
3 urgency provided in several public comments
4 today. CAR recommends advancing mandatory
5 building electrification standards in Title 24 as
6 soon as possible.

7 It is critical for California to reduce
8 our dependence on natural gas in buildings to
9 meet our statewide climate net quality targets.

10 All-electric design of buildings reduces
11 greenhouse gas emissions by 40 to 50 percent in
12 most cases compared to mixed fuel design.

13 Several carbon neutrality studies indicate that
14 aggressive building electrification is required
15 in the near term to really put us on track to
16 achieve our midcentury climate neutrality target.

17 Rocky Mountain Institute estimates that
18 delay of the code update until the next code
19 cycle would result in an additional three million
20 tons of greenhouse gas emissions by 2030, which
21 is equivalent to putting 650,000 more cars on the
22 road. RMI also estimates that a delay would
23 result in more than one billion dollars of
24 unnecessary spending on new gas connection
25 infrastructure, which may become a strain on

1 assets in the future.

2 If CEC adopted an all-electric baseline
3 for new construction in the current 2022 code
4 cycle would help California achieve the market
5 growth of electric appliance sales at the
6 necessary base to achieve carbon neutrality by
7 midcentury. While CARB is working with CEC on
8 kitchen ventilation standards, this alone does
9 not provide enough health benefit.

10 A better choice is to update to all
11 electric and enhance ventilation to maximize
12 health benefits. Converting to electric
13 appliances will provide larger, more immediate
14 and more certain public health. Pollutants from
15 gas appliances has been linked to various acute
16 and chronic health effects, including asthma and
17 other respiratory illnesses, cardiovascular
18 disease and even premature death.

19 Since building electrification is one of
20 the most cost-effective strategies to meet
21 California's climate and air quality target and
22 it provides important public health benefits,
23 CARB supports advancing mandatory building
24 electrification standards in Title 24 as soon as
25 possible. Thank you.

1 MR. BOZORGCHAMI: Thank you, Dana.

2 Kevin, I'm going to unmute you.

3 MR. MORRISON: Well, hi, CEC, and thank
4 you for having this forum. I'm Kevin Morrison
5 from Green Nevada, a grassroots organization in
6 Morin County.

7 First of all, thank you for your diligent
8 work. It is much appreciated.

9 I want you to know that as our city goes
10 through the process of defining a role in
11 fighting for environmental protections locally we
12 look to your leadership and it makes it easier
13 for us to favor building electrification when you
14 lead. It's kind of like building in general.
15 Most jurisdictions don't like it when the State
16 mandates additional housing, but we have to build
17 more housing and, ultimately, it benefits
18 everyone. It's the same with electric vehicle
19 requirements, building electrification.

20 Ultimately we have to do these things.
21 They benefit all of us, but it's a lot easier for
22 our local officials to follow your lead, so,
23 please, if you can require building
24 electrification, stop relying on cost
25 effectiveness and maybe start relying on

1 something you could call climate effectiveness as
2 the most important criteria, that would be great.
3 So, thank you.

4 MR. BOZORGCHAMI: Thank you, Kevin.
5 David, would you like to unmute yourself and
6 state your name and affiliation, please.

7 MR. McCOARD: Hi, this is David McCoard,
8 and I'm a volunteer with the Sierra Club. You
9 know, we can see climate change all over, so I
10 don't need to go into detail there.

11 I've been following the workshop most of
12 the day, and the conclusions from the workshop
13 are that building electrification with electric
14 heat pumps, PV and plus storage are viable and
15 cost effective. We also need to include energy
16 efficiency in the building and construction with
17 the window design and installation.

18 And, so, we need all these things in
19 statewide building requirements, and now, at
20 least in the 2022 Title 24 update. Thank you.

21 MR. BOZORGCHAMI: Thank you, David.
22 Jean, I'm going to unmute you, so please go ahead
23 and state your name and affiliation, please.

24 MR. LONJARET: This is Mr. Lonjaret again
25 from the Sustainability Commission of La Mesa.

1 I'm also representing SD-350, and since no one
2 else from SD-350 has spoken I will just -- you've
3 heard all the arguments. I will just add that
4 SD-350 and many organizations around San Diego
5 support total electrification of buildings as
6 fast as possible. And what didn't make sense
7 eight years ago, perhaps, makes sense right now.
8 And it's clear to everyone as has been stated by
9 many architects and other professionals.

10 Nobody needs to lose his job because of
11 building electrification. We shouldn't focus so
12 closely on costs and figures. We should take a
13 broader approach, a step back to watch the big
14 picture, and the big picture is a climate crisis,
15 and the Governor knows that. And if fossil fuels
16 are not good enough to burn for mechanical power
17 in vehicles, they're certainly not good enough to
18 burn enough for heat only in a building.

19 As far as the intervention of the WPGA,
20 good point, but as it was stated by someone else,
21 when the power goes out, it's not taking a hot
22 shower that will be my problem or cooking soup.
23 So, a house does not need gas. And there's
24 plenty of room for nonfossil gas such as propane
25 and methane to replace fossil gas in other

1 applications.

2 Thank you very much for the opportunity
3 and the privilege to participate in this.

4 MR. BOZORGCHAMI: Thank you, sir. Chris,
5 I'm going to unmute you. Go ahead and state your
6 name and affiliation.

7 MR. STRATTON: Hi, can you hear me?

8 MR. BOZORGCHAMI: Perfect. Go ahead,
9 sir.

10 MR. STRATTON: Great. So, my name is
11 Chris Stratton. I'm not affiliated with any
12 organization. I'm just a homeowner and a
13 ratepayer in the San Diego Valley of Southern
14 California. So, I apologize for repeating what
15 others have said more eloquently. I'll be brief.

16 California does not meet its climate
17 goals by allowing the construction to be operated
18 using fossil gas, gas in construction equipment
19 will lock our buildings into decades of pollution
20 and bad indoor air quality and make it more
21 difficult and expensive when there are eventual
22 and inevitable conversion to all electric
23 happens.

24 We have recently renovated our own home
25 to be all electric and we love living in it. We

1 found there are superior electric alternatives to
2 every gas appliance, electric induction ranges,
3 heat pump water heaters, heat pumps for space
4 conditioning. The list goes on and on.

5 Electrification has allowed us to
6 significantly tighten our building envelope which
7 was crucial in maintaining good indoor air
8 quality during recent wildfires here, and
9 resilience, which was commented on before, is
10 provided by onsite battery storage.

11 So, for California's health and safety
12 and to have any hope of meeting our climate
13 goals, new construction in California must be all
14 electric in 2020.

15 Thanks for the opportunity to speak.

16 MR. BOZORGCHAMI: Thank you, Chris.
17 Bruce, would you like to unmute yourself and --

18 (indiscernible)

19 MR. BOZORGCHAMI: Bruce, we're having a
20 hard time hearing you. There's some connection
21 issues.

22 MR. NAEGEL: Can you hear me now?

23 MR. BOZORGCHAMI: No, sir.

24 MR. NAEGEL: All right. Go on to the
25 next person and I'll see if I can fix the

1 connection.

2 MR. BOZORGCHAMI: Sure. Sure, sure.

3 MR. AARENS: Hello. Hello, can you hear
4 me?

5 MR. BOZORGCHAMI: Hi, Eric, how are you?

6 MR. AARENS: My name is Eric Aarens, and
7 I'm speaking for the League of Women Voters of
8 California. Thanks for the opportunity to speak.

9 The league has submitted a paper for
10 inclusion in the proceedings, and it has more
11 detail, but I'd just like to say something for
12 the League of Women Voters of California and
13 actually, also for the league of the United
14 States, that is, the very concern about global
15 warming and a rapid reduction of fossil fuel use
16 is needed.

17 California now produces more electricity
18 in the daytime from the sun and wind that the
19 whole state can use, and the problem can be
20 solved. And with the price of the batteries and
21 the other storage devices coming down, California
22 will be able to run at nighttime also.

23 And the faster that California can
24 electrify itself, the faster the rest of the
25 world will do so, too. That's because California

1 is a leader. It is imperative that CEC electrify
2 California as quickly as possible for the sake of
3 lives on land and in the sea as we know it and
4 reduce wildfires, hurricanes, and all of the
5 other happenings that are degrading life on the
6 planet.

7 And, so, please make rules that will give
8 almost everybody off fossil fuels as quickly as
9 possible, and so electrification of new buildings
10 and in future years of all buildings should be
11 mandatory. Thanks a lot.

12 MR. BOZORGCHAMI: Thank you, sir. Bruce,
13 I'm going to unmute you one more time. Go ahead
14 and see if it works better this time.

15 MR. NAEGEL: Hi, can you hear me?

16 MR. BOZORGCHAMI: Beautiful. Thank you.
17 Please state your name and affiliation.

18 MR. NAEGEL: Yeah. Bruce Naegel. I'm
19 also with the Fossil-free Buildings and with
20 Sustainable Silicon Valley.

21 I'm going to talk about a couple of
22 personal things that have come up in terms of
23 injuries, et cetera. First off, the Mayor of
24 Mountainview passed a reach code, and one of the
25 motivations for it was the fact that her two

1 children were concerned about the fact that they
2 wouldn't have a place to live when they grew up,
3 and that moved her tremendously and it's a
4 concern that we all have to be aware of. We talk
5 about, you know, the fact that future generations
6 may not have a place to live, and that's very
7 likely.

8 In terms of indoor air pollution, one of
9 the real concerns is nitrous oxide. And the
10 reason is, is that it significantly aggravates
11 asthma. In fact, asthma in homes that have gas
12 stoves is 42 percent more likely than it is in
13 ones that are electric. So, we have a real
14 health crisis in terms of that and, in fact, one
15 of the building officials in another town in this
16 area has basically told his daughter do not put
17 in gas, put in all electric for the fact that
18 asthma runs in their family. So, we have these
19 situations.

20 One of the financial situations that's
21 very interesting is the fact that every time we
22 put in more gas we're going to have stranded
23 assets, so we kind of pointed at this, but
24 there's millions, possibly billions, of dollars
25 of gas lines that are going to be put in that are

1 going to have to be thrown away. So, I think
2 that this is the right time to move forward on
3 this. We have the tools to be able to do it. We
4 have, you know, the technology in terms of heat
5 pumps has grown tremendously since that time, and
6 we should start to move as quickly as possible
7 and make sure the 2022 code is all electric.
8 Thank you.

9 MR. BOZORGCHAMI: Thank you, Bruce.
10 Mary, I'm going to unmute you. Go ahead and
11 state your name and affiliation, please.

12 MS. DATEO: Hi, Mary Dateo, Carbon Free
13 Mountainview. We've heard many good reasons --
14 great reasons, actually, to adopt an all-electric
15 code for 2022. There are no real downsides.

16 All electric buildings are simpler,
17 healthier, safer and lower cost when you build
18 them from the start.

19 So, I converted my home to all electric
20 and I am thrilled with the result. However, it
21 took a lot of planning, and it was much more
22 expensive to convert my house than if it had been
23 all electric from the start.

24 So, every year we wait we're adding
25 thousands of homes, and, therefore, homeowners

1 like me and landlords who are going to have to be
2 motivated to spend considerable time and money to
3 electrify one by one. What a waste.

4 By your decision you can avoid all that
5 unnecessary effort and cost. Because of climate
6 change we know we need to electrify. We know
7 we're going to electrify, so why wait. There is
8 no advantage to our state or to our citizens to
9 delay. Thank you.

10 MR. BOZORGCHAMI: Thank you, Mary. Joy,
11 I'm going to unmute you. Go ahead and state your
12 name and affiliation, please.

13 MS. ALAFIA: Thank you. Can you hear me
14 okay?

15 MR. BOZORGCHAMI: Sure, beautiful. Thank
16 you.

17 MS. ALAFIA: Good afternoon, Mr. Chair
18 and Commissioners. My name is Joy Alafia. I'm
19 with the Western Propane Gas Association.

20 And I simply wish to provide a
21 correction. One absolutely can use propane when
22 the power goes out. Propane is not associated
23 with the electrical grid, nor is it tied to any
24 natural gas lines or the corresponding
25 infrastructures. I just want to clarify that

1 point, and you review the comments submitted from
2 citizens in rural parts of our state who use
3 solar and propane and have seen the value
4 proposition that propane provides for resiliency.

5 With all due respect to the prior comment
6 of not needing propane when there's a power
7 outage, I beg to differ. I think a lot of
8 customers are very happy not only to be able to
9 take hot showers and cook food when there's a
10 power outage, but they can also keep the lights
11 on. They can avoid food spoiling in the
12 refrigerator, and for those most vulnerable
13 citizens, they can assure that they have the
14 power to keep life sustaining equipment in
15 operation.

16 As was mentioned, our industry is
17 committed to achieving 100 percent renewable
18 propane in California by 2030. We already have
19 displaced 10 percent of our transportation
20 sector, and that's effective when it translates
21 to taking 4,000 cars off the road.

22 We look forward to a comprehensive
23 conversation that incorporates renewable propane
24 that can be used at the site to generate
25 renewable electricity, that includes new burner

1 technologies, that can eliminate nitrous oxide
2 emissions by up to 80 percent and other industry
3 advancements. This is an urgent crisis. Let's
4 come together, have that honest conversation and
5 deploy all clean energy solutions.

6 Thank you so very much for your work, and
7 we look forward to working with you in the
8 future.

9 MR. BOZORGCHAMI: Thank you, Joy. Greg
10 Nelson, I'm going to unmute you. Please state
11 your name and affiliation.

12 MR. NELSON: My name is Greg Nelson. I
13 am a consultant and recently the sustainability
14 project manager at LESD, and I'm still working on
15 a few county projects.

16 I just wanted to make a comment on the,
17 you know, earlier this morning CEC staff
18 commented that they were reluctant to cut the gas
19 cord regarding cooking in the homes, and I get
20 that. You want widespread public support.
21 However, the problem is that that propagates
22 continued expansion of very powerful greenhouse
23 gas.

24 And, so, maybe the answer might be
25 instead of that having some more educational

1 outreach, discussing the benefits of induction
2 stovetops. You've Michelin chefs who are, you
3 know, saying it's better than sliced bread.

4 There was a great presentation at the
5 USGBC's Municipal Green Building Conference back
6 on August 22nd. I hope you can still find it
7 somewhere on line about the benefits of cooking
8 with induction stoves.

9 So, I just wanted to say that and address
10 that, but, also, Southern California Gas has
11 taken a few hits here today. I know you guys are
12 out there. And I'm going to give you one more.
13 You guys have been -- you know, the State is
14 currently investigating you regarding
15 improprieties and pushing fossil fuels in the
16 ports of LA and Long Beach. You're funding a
17 nonprofit that's pushing propaganda in the San
18 Gabriel Valley regarding this cooking issue.
19 Look, we get it. You guys are in an existential
20 crisis. You need a new Paragon Bill. And if it
21 takes going to the CPUC and getting new
22 regulations to do this, then so be it. You need
23 to help California in transitioning off of fossil
24 fuel. And you're already in all our homes
25 anyway. Actually, I like my gas guy, very

1 competent, very cordial, and they have a lot of
2 knowledge, and they can help us to stop -- to
3 discontinue fossil fuels and please stop the
4 sabotage. Thank you.

5 MR. BOZORGCHAMI: Thank you, Greg. Bret,
6 I'm going to unmute you. Go ahead and state your
7 name and affiliation.

8 MR. ANDERSEN: Can you hear me?

9 MR. BOZORGCHAMI: Beautiful, thank you.

10 MR. ANDERSEN: Yeah. This is Bret
11 Andersen, and I'm a member of Carbon Free LL
12 Bill.

13 I wanted to point first to the purpose of
14 the CEC which I read from the home page on the
15 website to be committed to reducing energy costs,
16 curtailing greenhouse gas emissions, insuring
17 safe, resilient and reliable energy supply.

18 So, in my mind that goes along with what
19 California officials, CPUC and CEC, have already
20 acknowledged, basically the fact that natural
21 gas, essentially in a house, is a weak method of
22 powering buildings.

23 So, it looks to me like the CEC and the
24 CPUC should be helping everyone avoid wasting
25 money on an energy solution that is obsolete.

1 We've got electric solutions, all-electric homes,
2 already validated on all the counts that matter
3 in terms of safety, comfort, performance,
4 control, emissions. We know already from the
5 studies done that they are cost effective. Even
6 if you were to say we want to just be efficient
7 using our natural gas, an all-electric home is so
8 efficient that it actually uses less gas if
9 powered 100 percent by a gas-powered electricity
10 plant than you would use if you were to install a
11 mixed fuel home with gas-powered appliances. So,
12 essentially you use less gas by building an all-
13 electric home and providing that electricity to
14 natural gas.

15 And that goes for emissions as well, so,
16 it just seems like there's really no case to
17 support any more investment in what would
18 basically be obsolete infrastructure.

19 And I think also that in the experience
20 that we went through supporting reach codes,
21 getting Palo Alto to adopt one, helping many
22 other area cities with the Fossil-Free Buildings
23 Campaign, that there's a lot of complexity and
24 uncertainty out there about this transition. And
25 we really look to the agencies like the CEC to

1 kind of clear the path of it. And we use that
2 uncertainty based on the science and the
3 knowledge that is state of the art today.

4 So, if we want consumers, cities,
5 investors and suppliers to invest in the training
6 learning about these electric solutions which are
7 commonly used around the world already but just
8 not available here yet, then, you know, we need
9 to say we've decided this is the path forward.
10 We've acknowledged that electrification is the
11 path forward, and that we just -- we won't allow
12 or support any more investment in an obsolete
13 pathway. And we need to help our consumers and
14 cities to simplify this decision and get --

15 MR. BOZORGCHAMI: I'm sorry, Bret, I have
16 to mute you. I have to, to give others time.
17 Thank you.

18 MR. ANDERSEN: Okay, okay. Thank you
19 very much.

20 MR. BOZORGCHAMI: Brad, I'm going to
21 unmute you, sir. Go ahead and state your name
22 and affiliation, please.

23 MR. JACOBSON: Okay, can you hear me?

24 MR. BOZORGCHAMI: Perfect. Thank you.

25 MR. JACOBSON: My name is Brad Jacobson.

1 I'm a practicing architect in California. I have
2 personally led the design team in at least 10
3 all-electric buildings, including a number of
4 buildings currently operating in net zero energy.

5 In our practice we found it cost
6 effective and reliable to go all electric on a
7 wide range of project types. In fact, generally
8 it's less expensive to go all electric due, in
9 part, for new construction to require that we can
10 only install one energy infrastructure service
11 instead of two.

12 We're currently strongly advising our
13 clients to reduce their own risks and long-term
14 costs by going all electric now to avoid
15 potentially future disruptive and costly
16 retrofits.

17 I wanted to especially to address a
18 comment by a representative of the propane
19 industry earlier who claimed that relying on a
20 single energy source is less resilient. We have
21 to stop this kind of misinformation. This is
22 simply not true today as all gas appliances today
23 require electricity for ignition, control,
24 motors, fans, et cetera. Using gas simply does
25 not improve resilience.

1 We need bold action today, especially
2 code changes that mandate all electric new
3 construction, and we need the CEC to support
4 implementation of the zero code in the upcoming
5 code update. Thank you.

6 MR. BOZORGCHAMI: Thank you, Brad.
7 Josie, I'm going to unmute you. Please state
8 your name and affiliation, please.

9 MS. GAILLARD: Sure. Can you hear me?

10 MR. BOZORGCHAMI: Perfect. Thank you.

11 MS. GAILLARD: So, my name is Josie
12 Gaillard. I'm a commissioner for Menlo Park's
13 Environmental Quality Commission.

14 For background, I have an MBA and I
15 started my career in the solar industry when
16 California was catalyzing the solar industry
17 globally.

18 So, thank you for your work. The code
19 that you seem to be proposing today, from my read
20 of it anyway, will prevent the State from
21 achieving carbon neutrality by 2045 simply
22 because gas appliances installed new in 2025 will
23 still be functional in 2055, which is 10 years
24 beyond the State's zero carbon goal.

25 As a commissioner at city level we are

1 taking the State's goals seriously and really
2 bending over backward to make our local code --
3 our reach codes align with the State goals.

4 So, I guess my question is why is CEC not
5 doing the same or doesn't appear to be doing the
6 same? The meeting is giving me the impression
7 that CEC does not feel obligated to align
8 policies with the State's greenhouse gas goals
9 and in the same rigorous way.

10 For example, I wonder is anyone modeling
11 just how much high GWP methane will be emitted in
12 2045 by equipment that's permitted in this code
13 that you're proposing, and how will that impact
14 the State's greenhouse gas inventory in 2055?

15 So, if CEC is not obligated to align its
16 policies with the State's greenhouse gas rules,
17 who is responsible for that? Thank you.

18 MR. BOZORGCHAMI: Thank you, Josie.
19 Brad, I'm going to unmute you. Go ahead. State
20 your name and affiliation.

21 MR. JACOBSON: I already spoke. Thank
22 you.

23 MR. BOZORGCHAMI: Sorry, sorry. Okay.
24 Tom, I'm going to unmute you. Go ahead and state
25 your name and affiliation, please.

1 MR. KABAT: Hello. I'm Tom Kabat. I'm a
2 longtime utility planner on the gas and the
3 electric utilities at Palo Alto. I'm also an
4 environmental quality commissioner in Menlo Park,
5 working alongside Josie Gaillard, working on
6 trying to do what we can at the local level to
7 help the State reach its climate targets, trying
8 to advance reach codes, and we would really
9 appreciate it at the city level if the CEC would
10 adopt an all-electric base code. That means that
11 we won't have to go through the hard process
12 again to do a reach code. We can direct our
13 attention to the even harder problem of taking on
14 existing buildings and helping get the equipment
15 converted in those. And it is a much harder
16 problem.

17 And, so, I urge you to think outside the
18 box about how not to write a code that allows
19 people to continue to invest assets into the gas
20 system and having obsolete equipment. It is so
21 expensive to convert.

22 So, please look at that. Please, if you
23 -- you know I see the rigor, the engineering
24 rigor of the economic analysis. If it helps,
25 please include the retrofit costs partway through

1 the cycle of the building life and see how the
2 economics look then and see if allowing the gas
3 path really is that economic. I think you'll
4 find it's not.

5 And, so, you know, we're recommending
6 simple fixes, but if you want the complex one it
7 is to include the cost of retrofitting in there.
8 It's also to look beyond the building at the
9 upstream leakage of methane. You look already
10 beyond the building at the upstream impacts of
11 other things, like you're including things beyond
12 your jurisdiction like the way utility rates are
13 set and how large they are.

14 You include the impacts of utility rates
15 in your analysis. Include the impacts of gas
16 leakage upstream of the building. It's three to
17 eight percent. And you will find that, you know,
18 there's no more gas that makes any sense for
19 California. It is all counterproductive and
20 wastes our money compared to where we have to go.

21 We have enough obligations on our plate
22 in the future fighting fire seasons, fighting sea
23 level rise. We cannot also be stranding gas
24 assets, then we give people bills five times
25 higher than the original construction cost to do

1 the retrofitting. And to make a slight agreement
2 with the propane people, I do have propane in my
3 camp stove as my backup for when the gas system
4 went off. I definitely needed it before I got my
5 induction stove, and I might need it some day in
6 the future if we have a power outage. But
7 propane camp stoves are a good option for
8 producing resilience.

9 Thank you very much and good luck on the
10 thinking outside the box.

11 MR. BOZORGCHAMI: Thank you, Tom. So,
12 that's pretty much all the raised hands I've
13 seen, and I don't see any more comments coming on
14 the question and answer. So, I'm going to open
15 it up -- we've got one more. Ann, I'll unmute
16 you, and go ahead and unmute yourself and state
17 name and affiliation.

18 MS. AMATO: Can you hear me?

19 MR. BOZORGCHAMI: Yes, we can.

20 MS. AMATO: Okay, great. Thanks. I'm
21 Ann Amato. I'm a Carmichael, California
22 resident. I'm a member of the Sacramento Climate
23 Coalition, and I'm going to move because they're
24 blowing leaves outside. Oh, my gosh, everything
25 happened in one day.

1 I don't want to repeat what other people
2 have said. I have to turn on a light here. But
3 we are -- the climate tipping points are already
4 active, and locally, let alone globally, we are
5 being smacked in the face with the evidence of
6 climate change, heat waves, drought and
7 wildfires, and as we speak, Hurricane Delta is
8 charging the Gulf Coast. And, clearly, we have a
9 climate emergency which is why I'm asking for
10 bold action on your part and implementation of
11 the mandatory clean electric technology as soon
12 as possible.

13 Encouraging electric construction through
14 compliance credits is unlikely to result in any
15 significant shift of new construction practices
16 leading to zero carbon, electric construction.
17 Without bolder action we will continue to see gas
18 buildings and infrastructure which locks us into
19 decades of climate pollution.

20 We cannot afford for a livable planet and
21 for housing affordability in California to build
22 hundreds of thousands of new homes and millions
23 of square feet of commercial space fueled by gas
24 for another three years.

25 I'm asking you to join the many local

1 California jurisdictions that have already
2 adopted local codes that require electric new
3 construction. I would like to see the State of
4 California to continue to be a leader and take
5 similar action. As a state we need to lead the
6 way for the sake of our children and our
7 grandchildren, and we need to take action now.
8 Let's work together. Let's give our kids and our
9 grandkids a future that is livable. Thank you.

10 MR. BOZORGCHAMI: Thank you, Ann.

11 MS. AMATO: Thank you for your time.

12 MR. BOZORGCHAMI: Thank you, Ann. So,
13 this is -- I wanted to -- I brought this website
14 up, this link. We're going to be posting all of
15 the presentations on our website, on our docket
16 by tomorrow. Unfortunately, it's past 4:00
17 o'clock and our docket folks are probably gone
18 for the day. So, please submit your comments,
19 concerns relating to today's presentations that
20 you've heard and the numbers that you've seen and
21 we will look into these and get back to you
22 folks.

23 We are scheduled to have another workshop
24 on the measures that are going to be proposed for
25 the standards for 2022 on November 19. So,

1 within about 10 days prior to the workshop there
2 will be a notice which will be submitted, which
3 will be presented to everyone or listed where we
4 will give you all the reports and all the
5 information you need for this workshop.

6 With that I will conclude today's
7 presentations. Thank you.

8 (Whereupon the workshop was concluded at
9 4:27:07 p.m.)

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me and a disinterested person.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.

October 15, 2020

1

Linda D. Rinaldi