

DOCKETED	
Docket Number:	20-SIT-01
Project Title:	Incremental Efficiency Improvements to the Natural Gas Fleet for Electric System Reliability and Resiliency
TN #:	236026
Document Title:	Transcript of December 2, 2020 Lead Commissioner Workshop
Description:	INCREMENTAL EFFICIENCY IMPROVEMENTS TO THE NATURAL GAS POWERPLANT FLEET FOR ELECTRIC SYSTEM RELIABILITY AND RESILIENCY
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/18/2020 1:01:20 PM
Docketed Date:	12/18/2020

CALIFORNIA ENERGY COMMISSION

In the matter of:

Incremental Efficiency) Docket No. 20-SIT-01
Improvements to the Natural)
Gas Powerplant Fleet for)
Electric System Reliability)
and Resiliency)
_____)

LEAD COMMISSIONER WORKSHOP

INCREMENTAL EFFICIENCY IMPROVEMENTS TO THE
NATURAL GAS POWERPLANT FLEET FOR ELECTRIC SYSTEM
RELIABILITY AND RESILIENCY

REMOTE VIA ZOOM

WEDNESDAY, DECEMBER 2, 2020

9:00 A.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONERS

David Hochschild, California Energy Commission

Janea Scott, California Energy Commission

Karen Douglas, California Energy Commission

Andrew McAllister, California Energy Commission

Liane Randolph, California Public Utilities Commission

Marybel Batjer, California Public Utilities Commission

CEC STAFF

Noemi Gallardo, Public Advisor

Kenneth Salyphone, Mechanical Engineer

MODERATORS

Jim Bartridge, California Energy Commission

Shawn Pittard, California Energy Commission

PRESENTERS

Peter Blaes, General Electric

Joshua Minnix, General Electric

Alex Morris, California Energy Storage Alliance

Mike Salvatore, Siemens Energy

Matt Garner, Roseville Energy Park

Ross Gould, Sacramento Municipal Utility District

Frank Messineo, Burbank Water and Power

Matthew Zents, Southern California Edison

APPEARANCES

PRESENTERS

Barbara McBride, Calpine Corporation

Jan Smutny-Jones, Independent Energy Producers
Association

Dennis Jang, Bay Area Air Quality Management District

John Annicchiarico, San Diego County Air Pollution
Control District

Tom Jordan, San Joaquin Valley Air Pollution Control
District

Amir Dejbakhsh, South Coast Air Quality Management
District

Eric Knight, California Energy Commission

Dawn Weisz, Marin Clean Energy

Deb Le Vine, California Independent System Operator

Michele Kito, California Public Utilities Commission

Scott Ranzal, Pacific Gas and Electric Company

Elsa Valay-Paz, San Diego Gas and Electric

Katie Ramsey, Sierra Club

Mark Irwin, Southern California Edison

PUBLIC COMMENT

Grant McDaniel, Wellhead Power Solutions

Michael Alcantar, Western States Petroleum Association

Tim Buttke, Southport Equipment

Evelyn Loya, SoCalGas Company

Brian Biering, Diamond Generating Corporation

APPEARANCES

PUBLIC COMMENT

Miguel Sierra Aznar, Noble Thermodynamics

Andy Brown, Ellison, Schneider, Harris & Donlan LLP

INDEX

	Page
Morning Session	
Opening Remarks	10
Workshop Overview	10
Staff Presentation of Possible Technology Upgrades	17
Panel 1: Incremental Technology Improvements And Benefits	23
Panel 2: Opportunities, Challenges and Process Modifications	67
Public Comments	125
Afternoon Session	
Panel 3: Discussion of Finance and Governance Opportunities	146
Public Comments	201
Closing Remarks	207
Adjourn	208

P R O C E E D I N G S

9:01 A.M.

WEDNESDAY, DECEMBER 2, 2020

MR. BARTRIDGE: Good morning everyone and thank you for joining us this morning. I'm Jim Bartridge with the Energy Commission's Siting, Transmission, and Environmental Protection Division. Thank you for participating today in our Lead Commissioner Workshop focused on Incremental Improvements to the Natural Gas Power Plant Fleet for Electric System Reliability and Resiliency.

Before we get started I'll turn to our Public Advisor, Noemi Gallardo, for some background and housekeeping logistical items.

Noemi, let me turn it over to you.

MS. GALLARDO: Hello everybody. Good morning. I am Noemi Gallardo, the Public Advisor at the Energy Commission.

Today's workshop is being recorded and being held remotely without a physical location consistent with Executive Orders N-25-20 and N-29-20, and the recommendations from the California Department of Public Health, to encourage physical distancing to slow the spread

1 of COVID-19.

2 The public may participate and/or observe
3 the meeting consistent with the direction in
4 these executive orders. Instructions for remote
5 participation can be found in the notice for this
6 workshop. If you have any trouble with the Zoom
7 online platform during the meeting, you can also
8 call in at (669) 219-2599 or (877) 853-5257 and
9 enter the morning session I.D. 927 7901 5365. I
10 know that's a lot of numbers. We also have them
11 posted on the slide there.

12 Additionally, please note that the master
13 deck of PowerPoint slides being shown today will
14 be posted very shortly to the Energy Commission's
15 website at energy.ca.gov. And on the home page,
16 you would scroll down to events and you can find
17 the link to the workshop and related material
18 there.

19 So the COVID-19 pandemic continues,
20 unfortunately, and California now has over 1
21 million confirmed corona cases, and it is
22 expected that numbers will rise through December.
23 So we encourage everyone to stay safe and take
24 the following steps, wash your hands, wear a face
25 mask, clean frequently, and maintain at least six

1 feet of distance from others, and visit
2 covid19.ca.gov for more information.

3 Next slide.

4 Zoom is the Energy Commission's online
5 platform of preference. I'll provide some quick
6 instructions to improve your experience.

7 For those who can see on this slide, we
8 included images of the various icons you can use
9 during the workshop. We suggest clicking on
10 gallery view in the upper right corner of your
11 screen to see all speakers simultaneously, or if
12 you prefer you could click speaker view to see
13 one speaker at a time.

14 At the bottom of your screen you'll see a
15 black bar with a raise-hand icon that looks like
16 a high five that you can use during the public
17 comment period. For those who are panelists you
18 can use the icon that looks like a microphone to
19 mute and un-mute when appropriate.

20 Please note that the chat and Q&A
21 features are disabled for this workshop for
22 attendees.

23 Next slide.

24 There are two periods of time dedicated
25 for public comment during today's workshop, one

1 this morning following the panelists'
2 presentations, and another following the
3 afternoon panelists' presentations. Due to time
4 constraints, today's speakers will not respond to
5 questions asked during the public comment period.

6 Each person will have up to three minutes
7 to speak. And organizations are limited to one
8 representative. If you would like to make a
9 comment in Zoom, click on the raise-hand icon to
10 let us know you'd like to make a comment, and
11 we'll let you know once we've opened your line to
12 speak.

13 For those who have phoned in, press star
14 nine to raise your hand and star six to un-mute.
15 We will open your line during the public comment
16 period. When you are called upon, please spell
17 your first and last names, also, state your
18 affiliation, if any, for the record, then begin
19 your comments.

20 Alternatively, we welcome written
21 comments which are due by 5:00 p.m. on December
22 16th. The meeting notice provides detailed
23 instructions on how to submit comments. On this
24 slide we included links to where you can visit to
25 file comments electronically and where to click

1 to view all documents filed in this docket.

2 With that, I'll turn it back to Jim.

3 MR. BARTRIDGE: Thanks Noemi.

4 I'll review the agenda for today's
5 workshop. And then we'll move to opening
6 comments from Commissioner Douglas and others.

7 This morning, we'll have two panels. The
8 first panel will discuss various incremental
9 technology improvements that could be made to
10 existing natural gas power plants, and the
11 benefits they could provide. The second panel
12 will discuss opportunities, challenges, and
13 process modifications that may be needed to
14 realize these incremental improvements.

15 This afternoon a third panel will explore
16 how the incremental improvements identified in
17 the morning could potentially be procured.

18 With that, let me turn it over to
19 Commissioner Douglas and other Commissioners for
20 any opening remarks.

21 COMMISSIONER DOUGLAS: All right. Well,
22 good morning everybody. Oh, let me see if I can
23 get my video on. All right. Well, here we go.
24 So good morning everybody and thank you for
25 organizing and participating in and taking part

1 in this workshop this morning to everyone who's
2 joined us.

3 As Jim Bartridge said, this workshop
4 focuses on looking at the natural gas fleet in
5 California and how we can bring forth incremental
6 improvements to the efficiency and reliability of
7 that fleet.

8 As I think we all know, California is
9 moving very quickly towards a much more
10 aggressive set of goals for reducing greenhouse
11 gas emissions in our system and transitioning our
12 electricity system increasingly to a zero-carbon
13 emission system. And as that transition occurs,
14 pursuant to our SB 100 goals and other policy
15 goals in the state, we will see the gas fleet and
16 gas plants operate less, and we're already seeing
17 gas plants operating less. However, they play a
18 very critical reliability role and are likely to
19 continue to do so for a significant period of
20 time, as we've seen in a number of analyses, but
21 most recently the work being done with the Energy
22 Commission, the Public Utilities Commission, and
23 the California Independent System Operator,
24 looking at our SB 100 goals.

25 So the focus of this workshop, as Jim has

1 noted, is what we can do in terms of incremental
2 energy efficiency or efficiency, process
3 efficiency improvements, or other types of
4 investments at the gas plants that -- or at
5 certain gas plants that could enhance and
6 increase their ability to provide this important
7 reliability function. And of course, we're doing
8 this with an eye towards Summer 2021 but, also,
9 with a potential longer-term perspective, as
10 well, depending on what we hear and what the
11 potential benefits and costs can be.

12 Certainly, we know that in the events we
13 had this summer, it was -- the gas plants did
14 play an important role in preserving electricity
15 services and producing electricity that we
16 needed. We did see, in some cases, de-rates, in
17 other words, plants producing less than they are
18 capable of, largely due to the heat. And I know
19 that one of the approaches we'll be looking at
20 today just looks at how to improve the
21 productivity or the generation during high heat
22 events.

23 So in any case, I'm very interested in
24 hearing the discussion, both this morning and
25 this afternoon, and thank everyone again for your

1 participation.

2 Thank you.

3 MR. BARTRIDGE: Would any other
4 Commissioners like to make remarks?

5 CHAIR HOCHSCHILD: This is David
6 Hochschild. Just good morning and thank you to
7 all the stakeholders and Staff who put it
8 together. I look forward to the discussion.

9 COMMISSIONER RANDOLPH: This is
10 Commissioner Randolph. I don't have much to add
11 to Commissioner Douglas's excellent introduction.
12 Looking forward to the discussion and seeing how
13 we can get more capacity out of our smaller
14 fleet, so thank you very much. Looking forward
15 to it.

16 MR. BARTRIDGE: Great. Thank you,
17 Commissioners.

18 President Batjer, any comments, or should
19 I keep going?

20 PRESIDENT BATJER: Let me see. There we
21 go. Thank you so much. I agree with my fellow
22 colleagues.

23 Excellent introduction, Karen. Thank
24 you.

25 And I look forward to the comments and

1 participation and a briefing, so thank you very
2 much for conducting this today and for all the
3 work that it took to do so.

4 Thank you.

5 MR. BARTRIDGE: Great. Thank you.

6 Mary, slide seven please.

7 And thank you, Commissioners.

8 I'll take a few minutes to set the stage
9 for today's workshop which, as Commissioner
10 Douglas said, focuses on incremental improvements
11 to the natural gas power plant fleet to support
12 electric system reliability and resiliency.

13 During August and September of 2020,
14 California and the Western U.S. encountered
15 unprecedented extreme heat storms, with
16 temperatures ranging from 10 to 25 degrees above
17 normal. We all know that when it gets hot,
18 energy use goes up, and the energy demand
19 exceeded both supply and our planning targets.
20 At the same time, many active wildfires were also
21 raging across California and the west. And
22 together the heat and wildfires significantly
23 impacted the energy system, affecting both
24 generation and transmission.

25 As a result, to maintain grid stability,

1 the CAISO initiated rotating outages for the
2 first time in 20 years. California's natural gas
3 power plant fleet accounts for more than half of
4 the state's total generation capacity and we
5 relied on them heavily in August and September.

6 However, the high temperatures and
7 dispatch stressed multiple subsystems of the
8 natural gas power plant fleet and resulted in de-
9 rates and curtailments. So as we look ahead and
10 think about reliability issues in the summer of
11 2021 and beyond, incremental investments at the
12 existing natural gas power plants may help avoid
13 those de-rates and curtailments.

14 Slide eight please.

15 At Governor Newsom's direction, the
16 Energy Commission and the CAISO and the Public
17 Utilities Commission submitted the Preliminary
18 Root Cause Analysis Report on October 6th,
19 identifying the cause of the events leading to
20 the outages. Because there's been a lot of
21 discussion on this topic already and we have a
22 lot to cover today, I won't spend a lot of time
23 on this.

24 As the report indicates, there were three
25 main causes. The existing resource planning

1 processes are not designed to fully address the
2 extreme heat events. Planning targets have not
3 provided sufficient resources to reliably meet
4 demand in the early evening hours, and these
5 challenges were amplified by the extreme heat.
6 And then, finally, there were scheduling issues
7 at the CAISO day-ahead markets.

8 Next slide please.

9 Here are the Root Cause Analysis Report
10 recommendations that the agencies are continuing
11 to work together on. The first is to examine
12 emergency procurements, perform statewide
13 resource assessments, improve communication
14 protocols, and enhance market practices.

15 Next slide please.

16 So getting back to the topic of today's
17 workshop, and I won't read these completely, but
18 we feel the natural gas power plant fleet can
19 help us meet near-term system reliability and
20 resiliency issues as we move towards our SB 100
21 goals. Plant improvements implemented by Summer
22 2021 and beyond can help mitigate future stresses
23 on our electric system like we saw this summer.
24 And these near-term physical improvements can
25 increase output, efficiency, turndown, and

1 flexibility, all of which can provide insurance
2 against extreme weather, fire, or climate-related
3 events and help smooth the transition to our SB
4 100 goals.

5 And let me just say that, also, the
6 agencies together, recently released the SB 100
7 Report. There will be a workshop on the Draft
8 Report this Friday, so just a quick public
9 service announcement there.

10 And with that, I'll turn it over to
11 Kenneth Salyphone to provide a brief overview of
12 California's existing natural gas power plant
13 fleet and some of the potential upgrades we've
14 been discussing.

15 MR. SALYPHONE: Thank you, Jim.

16 Good morning everyone. Thank you, Chair,
17 Commissioners, Staff and panelists for your time
18 and attention during today's workshop.

19 My name is Kenneth Salyphone and I am a
20 Mechanical Engineer with the Energy Commission.
21 I'll be presenting information on California's
22 power plant fleet and the potential efficiency
23 improvements for them.

24 Next slide please. Thank you.

25 This chart shows California's in-state

1 generation resource capacity in megawatts for the
2 past 20 years. The chart shows that the baseload
3 resources, such as geothermal in orange, biomass
4 in green, and hydro in pink, have not
5 significantly changed and remain relatively flat.
6 In contrast, there have been declines to some of
7 the generation resources, such as coal, oil,
8 petroleum coke, which are lumped into other non-
9 renewables shown in blue. Nuclear, shown in
10 black, also declined in capacity. On the other
11 hand, wind and solar have noticeably increased.
12 Solar is shown in yellow and wind in purple.
13 Natural gas, shown in red, which constitutes the
14 largest stake within the in-state generation
15 resources has varied in capacity.

16 The changes you see on this slide have
17 been the result of increases in cleaner renewable
18 generation in response to the state's plan to
19 reach 100 percent clean energy.

20 Next slide please.

21 Next we have the historical trend of in-
22 state generation by resource in gigawatt hours
23 for the past 20 years. Like the generation
24 resource capacity, the baseload resources of
25 geothermal and biomass, shown in orange and green

1 respectively, have been relatively flat. Other
2 non-renewables shown in blue, nuclear shown in
3 black, and natural gas shown in red have seen
4 declines in generation due the shift for cleaner
5 renewable generation.

6 With this shift, solar and wind resources
7 are providing more energy to the grid, which are
8 shown in yellow and purple respectively. Shown
9 in red, we see that the generation from natural
10 gas has declined in the last few years and this
11 can be explained in the next slide.

12 Next slide please. Thank you.

13 Here we have the in-state natural gas
14 capacity in megawatts, specifically technologies
15 that use natural gas. Shown in green we have
16 cogeneration plants. In red are peaker plants.
17 In brown are the aging plants. In purple are
18 combined cycle plants. And at the bottom in blue
19 are the total capacity that has retired.

20 The chart shows that the growth in the
21 combined cycle and peaker plants and reduction in
22 capacity of aging fleet, partly because of the
23 increase due to plant aging and retirement, which
24 includes nuclear plants. The overall natural gas
25 capacity and generation have decreased relative

1 to their peak in 2013. The loss of capacity has
2 put the state in a situation where the supply of
3 energy is challenging the state's electrical
4 demand during extreme weather events.

5 Next slide please.

6 As mentioned, California experienced
7 record-breaking heat storms in 2020. Peak energy
8 demands stressed multiple subsystems of natural
9 gas plants. Wildfires and smoke blocked the suns
10 rays to solar panels. And wind was not available
11 for wind turbines. In addition, once-through
12 cooling plants were limited in capacity. In
13 September, rolling blackouts were prevented by
14 load shedding. Consequently, these events have
15 been a learning experience, one that allows for
16 planning and preparedness for the future.

17 Next slide please.

18 The natural gas fleet currently plays a
19 key role in meeting California's electricity
20 demands and constitutes roughly 50 percent of
21 California's capacity. It is also reliable and
22 highly dispatchable. Increases in operational
23 flexibility, which includes start times, ramp-up,
24 turndown, efficiency, and capacity are potential
25 improvements for the natural gas fleet to

1 increase generation during peak times.

2 Next slide please.

3 Combined cycle and simple cycle plants
4 have potential for improvements in the areas of
5 advanced gas path, inlet air cooling, and other
6 cooling systems. While cogeneration plants are
7 part of the natural gas fleet portfolio, they are
8 not considered for improvement because they are
9 dependent on their thermal hosts and, therefore,
10 not as dispatchable.

11 Next slide please.

12 AGP improvements include replacing
13 mechanical components within the turbine.
14 Advances in metallurgy have allowed upgraded
15 components to withstand higher pressures and
16 temperatures which improve output, efficiency,
17 and operational flexibility.

18 Next slide please. Thank you.

19 And the air cooling system cool the air
20 before entering the gas turbine to increase air
21 density and mass flow rate. Many plants use
22 evaporative coolers. However, mechanical
23 chillers would recover more peak output during
24 hot summer days, especially when atmospheric
25 humidity is high. Evaporative coolers are

1 relatively inexpensive. They operate with low
2 parasitic loads but increase water consumption.

3 Mechanical chillers are more effective at
4 rejecting heat. And even though they use
5 slightly more parasitic load, they increase
6 overall power output. Chillers use refrigeration
7 gases as cooling medium. While some refrigerants
8 are considered hazardous in California, other
9 non-hazardous refrigerants are available.

10 Next slide please.

11 Other cooling systems can be improved to
12 increase efficiency and performance. One example
13 is pre-cooling the inlet air before entering the
14 air-cooled condenser. This increases the heat
15 transfer capacity of the air.

16 Another example is spraying water mist in
17 the compressor compartment within the turbine
18 unit. This increases the air mass flow rate
19 which results in higher output and efficiency.

20 Next slide please.

21 Another improvement can be realized by
22 adding onsite battery energy storage. Stored
23 energy can be a spinning reserve and act as an
24 enhancement during startup. Batteries can also
25 be readily dispatched during peak demand.

1 Moreover, batteries can be configured to serve
2 the stations' loads, which would reduce parasitic
3 loads during the generation for grid use.

4 Another area where improvements can be
5 made is the operating system software. Software
6 can be upgraded to allow the turbine unit to
7 operate above its original design or warranty
8 limits to meet demand during extreme heat events.

9 Next slide please.

10 Thank you, again, for your time
11 attention. I pass this over to Jim, who will
12 continue with today's program.

13 MR. BARTRIDGE: Great. Thank you,
14 Kenneth.

15 Let's move directly to Panel 1 for a more
16 in-depth discussion of these technologies and the
17 benefits they can provide. Here are a list of
18 our panelists today. And first up is Peter Blaes
19 and Joshua Minnix from General Electric.

20 Go ahead and take it away, Peter.

21 MR. BLAES: Okay. Hey, thanks, Jim, and
22 the Commission. GE really appreciates the invite
23 to the workshop and just being part of this
24 discussion.

25 So Kenneth, I appreciate the lead-in, as

1 well as some of the possibilities out there.

2 You know, GE, when we look at kind of the
3 fleet in California, we're very proud to say
4 that, you know, a significant portion of gas
5 coordination -- a significant portion of the
6 generation, gas generation, comes from equipment
7 with a GE meatball on it. So as we look at the
8 turbines and the plants, we classify them, you
9 know, further down.

10 So on the left side of the screen you're
11 going to see we have three main classes of units
12 in the state, B Class, E Class, and F Class.
13 Those are kind of classes of technology. As
14 we've evolved with power plant designs and gas
15 turbine designs, each of those has different
16 technology in them, and each has different
17 capabilities and things that we can do to them;
18 right? And we continue to invest in our gas
19 turbines. We actually have a newer class of
20 technology, the H Class.

21 And so one of the things that we do as we
22 push the limits of gas turbines and keep pushing
23 them for more output and flexibility, we actually
24 take those new designs or things out of the new
25 turbines and then we kind of start to retrofit

1 our older designs with those improvements; right?

2 So as Kenneth mentioned, you know,
3 there's material differences, there's design
4 improvements, there's sealing improvements, our
5 coatings. And nowadays there's lots of
6 manufacturing improvements as well. So we have a
7 lot of things that we do with what we call
8 additive manufacturing, which just makes the
9 turbines all that more capable. And so we can go
10 back and retrofit any of our older units with
11 different technologies as we push forward. And
12 that's what gives us the capability -- right? --
13 to really stretch the units that are in
14 California. So even when you look at F Class
15 units in California, that is now a 30-year-old
16 technology, and so there's a lot that can be
17 done.

18 So on the slide you see a few of the
19 capabilities; right? To go through every
20 possible upgrade or every possible thing we can
21 do takes hours and it's a significant list --
22 right? -- on any class of this technology. But
23 you know, it can be as simple as changing out a
24 few blades in a compressor section of a turbine,
25 or a few rows of blades, to changing out whole

1 combustion systems, whole gas path systems. The
2 advanced gas path was mentioned earlier; right?
3 So it can range greatly; right? But we can
4 squeeze a little bit more output out of almost
5 any unit but it varies from plant to plant --
6 right? -- and unit to unit.

7 One of the things that we do whenever we
8 approach projects like this is we, also, then
9 look for what else -- right? -- not just the
10 output at the top end or the capacity but is
11 there any other needs; right? Is there needs
12 for, actually, more turndown; right? Which means
13 getting to lower loads with the turbine still
14 running at emissions compliance, and so we have a
15 lot to offer there as well. And again, it can
16 vary anywhere from a smaller, less intrusive
17 option into the turbine -- right? -- versus a
18 whole changeout of internal parts and components.

19 And then we look at start times, ramp
20 rates, fuel flexibility. Hydrogen is a huge
21 topic of discussion these days in the gas turbine
22 world. Our turbines already have some
23 capabilities to burn hydrogen gas as well. And
24 we continue to invest in that capability and
25 pushing the limits with hydrogen as well.

1 I didn't put it on this slide but GE, we
2 do have battery systems and electrical storage
3 system, and so we are experimenting with projects
4 that kind of combine those systems with turbines,
5 whether that's for a black start capability or
6 for spinning reserve. And I think Josh will hit
7 on the spinning reserve piece a little bit later.

8 So next slide.

9 So this is just a quick high-level
10 example. And this is from a similar technology
11 type of plant. A lot of these plants are in what
12 we call two-on-one combined cycle configurations,
13 or it's two 7F turbines and a steam turbine
14 running in combined cycle.

15 And so you can just kind of see high-
16 level numbers here of what capabilities were when
17 we first built the plants and built the units and
18 what those capabilities can be today. This
19 example is an extensive project; right? This
20 would be a whole new combustor and a whole new
21 gas path in the turbine, as well as some tweaks
22 to the compressor, and from a software
23 perspective -- right? -- and a controls
24 perspective. But with that type of project, you
25 can significantly increase the total operating

1 envelope or operating range of the power plant.
2 And you can also improve the flexibility of the
3 plant itself.

4 So something else that we look at -- --
5 as I mentioned before is ramp rates and how fast
6 we can get that energy to the grid for
7 reliability and resiliency purposes. So we can
8 go two to three times faster than when some of
9 these plants were first built, you know,
10 depending on configuration. So we can do a lot
11 of significant work there, significant
12 improvements.

13 We can also help with the maintenance
14 intervals in kind of optimizing those so that
15 there's less down time from a maintenance
16 perspective on those.

17 So overall what I'd say is with any of
18 these projects, they can get very complex. The
19 plants themselves are complex. And every plant
20 is a little different; right? And also, needs
21 are a little different from one generator to
22 another.

23 So they are complex. We have the
24 capability to design and tweak and a lot of
25 levers to pull in the gas turbine space to

1 improve the plant's performance but its detailed
2 conversations are from a planning perspective.
3 We want to be out ahead of these type of projects
4 by at least a year, usually. The lead times for
5 the components themselves can range anywhere
6 from, you know, three months to a year. Costs
7 can vary significantly depending on what you're
8 doing and what the goals are. But there's no
9 one-size-fits-all solution, so it really takes
10 some time and some efforts to dig in to what, you
11 know, the generator of the site really needs.

12 But at GE we're excited about all the
13 technology improvements we can make. And we're
14 excited to try to help the generators in
15 California do whatever is needed to solve the
16 current issues.

17 With that, I'll turn it over to Josh.

18 MR. MINNIX: Great. Thanks Peter.

19 We can advance to the next slide.

20 Appreciate, again, the Commission giving
21 us the opportunity to participate in the
22 discussion today. My name is Josh Minnix. I'm
23 the Sales Director for North America for our
24 Aeroderivative Services Business. So we support
25 a fleet of over 150 aeroderivative units in

1 California, providing over 9 gigawatts of power.

2 In a similar manner, I've laid out in the
3 slide here some of the possibilities that we see
4 for the existing fleet in California. The air
5 technology is driven from aviation technology and
6 it provides highly efficient, flexible, modular,
7 on-demand power when it's most critically needed.

8 We took some of our categories of
9 upgrades and put them into two buckets here, some
10 focused on the summer of '21, these are more
11 immediate-term solutions, and some that we could
12 implement by summer of 2022. I'll focus on some
13 of the similar performance and capacity upgrades
14 that the technology is entitled to.

15 Similar to Peter's discussion on the
16 heavy-duty units, our aeroderivative technology
17 is capable of producing increasing peak output by
18 looking at modifying the control software, as
19 well as the material choice and technology within
20 the combustion system itself. We see that
21 opportunity across the range of our technologies
22 that already exist in California. And I've tried
23 to capture some of the fleet-level possibilities,
24 given the large number of units that are in
25 peaking and combined cycle application across the

1 footprint today.

2 An additional consideration when we think
3 about reinforcing the available capacity that
4 exists in the fleet today, one of the unique
5 aspects of GE's aeroderivative fleet is the
6 ability to do more modular and quicker outages as
7 the need may arise. We've got programs in place
8 to help our customers which range from utilities
9 to IPPs to cogenerations the universities of
10 California, to having lease assets available,
11 ready to respond within a 48-hour window or spare
12 engines onsite where the incremental availability
13 and reliability can be quickly realized with an
14 engine exchange.

15 Similar to our notes on our combined
16 cycle heavy-duty fleet, the aeroderivative fleet
17 is particularly flexible and agile. It's a fast-
18 starting technology and we have pushed the
19 envelope on that capability even further, now
20 being able to get our start times down to five
21 minutes, which brings incremental megawatt hours
22 to the grid.

23 When we think about some of the longer-
24 term solutions, again, we've increased the
25 technology capabilities on each of the platforms

1 over time, improving both the geometry and
2 materials capability. And some of that can be
3 realized by replacing turbines with upgraded
4 units. We've highlighted some of that in the
5 right-hand side of the slide here as well.

6 And finally, just to briefly touch on
7 hybridization of aeroderivative assets, I think
8 this is a place where we've really unlocked new
9 potential for the existing fleet in California
10 and elsewhere with our customers by pairing our
11 aeroderivative turbines with battery energy
12 storage systems, unlocking, effectively, 50
13 megawatts of spinning reserve with only a 10
14 megawatt battery. It provides a linear response
15 for a minimum load of zero megawatts all the way
16 to the full entitlement of the gas turbine
17 itself.

18 So to close on the GE side of the
19 presentation here, lots of technology options for
20 a large, critical fleet that exists in
21 California. And happy to partner in these
22 discussions on how to unlock the most potential.

23 Jim, that will conclude my remarks.

24 Thank you.

25 MR. BARTRIDGE: Thanks Joshua.

1 Next up we'll go to Alex Morris with the
2 California Energy Storage Alliance.

3 MR. MORRIS: Hi Jim. And hi everyone.
4 Thanks. Hopefully, you can hear me okay. I'll
5 speak on behalf of CESA, the California Energy
6 Storage Alliance and, again, it's great to be
7 here. I think this is a very important
8 discussion for focusing near term on the fleet we
9 have and how to leverage it for reliability.

10 I think one of the key distinctions
11 you'll hear from me today is you saw a lot of
12 different tools in the toolkit for improving the
13 efficiency of these gas units and a lot of that
14 does target these heat storm periods. What I'll
15 speak about today is something that helps in the
16 heat storms but also helps every other day of the
17 year and, to me, really is a low-hanging fruit
18 that the state should be aggressively exploring
19 for adding, in addition, these to our gas fleet.
20 There's a ton of benefits and I'll speak to that.
21 And I'll share some study data as well.

22 Next slide.

23 So really quickly, for those who aren't
24 familiar about CESA, CESA is the main energy
25 storage association in California. We're about

1 100 members. We're the voice of storage here.
2 And we're tech-neutral, so we support all types
3 of storage as long as it's meeting the grid's
4 needs. I think that's very important because
5 that principle makes sure that CESA's voice is
6 really supportive of the grid's needs and less so
7 of particular company perspectives.

8 That said, we do have, you know, a ton of
9 companies that are invested in California through
10 CESA and are expecting us to be their voice to
11 help there be storage market opportunities for
12 them, so it's a pleasure to work with you all.
13 And those of you that I've built relationships
14 with, thank you.

15 Next slide.

16 Yeah, and CESA is tech-neutral and
17 business-model neutral. So whether it's a
18 utility-owned storage system, or a hybrid gas
19 storage system, or a solar-plus storage, we're
20 open to that as long as it's meeting grid's
21 needs. And I think that will -- that's going to
22 play in here, why we think we see a good
23 opportunity for adding storage to these gas
24 units.

25 Next slide.

1 So stepping back, really, a question the
2 state needs to wrestle with and continue to
3 wrestle with that's emerging here is we have a
4 plan for SB 100 when it comes to our renewables,
5 we're going to build them out. We have this
6 growing plan through the Integrated Resource
7 Plans and whatnot about adding storage to our
8 fleet. But the pathway for our natural gas fleet
9 has always, to me, been a bit unclear.

10 There's recognition that we're going to
11 need the gas fleet, that it's crucial for
12 reliability, particularly near term. And the
13 state, I think, hasn't had a full roadmap for
14 when and how it starts to wind down its use for
15 the gas fleet. What the smart strategy? What's
16 the economic approach there, et cetera?

17 And so what we did at CESA is we sort of
18 looked at that specific question and tried to do
19 some modeling that we'll share about. And one of
20 the things we found is that a lot of the gas
21 remains useful for the system, in part for
22 providing energy but often, also, for providing
23 contingency services, like spinning reserve or
24 being available inside a local area in case
25 there's a contingency. And so when you're using

1 the gas in that way there's a huge benefit to
2 adding storage to it because then the gas system
3 can, basically, be -- capacity can be online
4 without actually burning emissions, et cetera.

5 Additionally, when you add storage to it,
6 you start to see faster rampings, you know, two
7 times the speed of ramping if you add it to a
8 CCGT, so you have a much better load-following
9 capability. And a lot of that translates to
10 lower emissions, healthier environments in
11 California, et cetera. And all of it is
12 extremely cost effective.

13 The last thing I wanted to say is this is
14 real now, so these units are already happening.
15 I think Edison is going to speak about their
16 unit. I've flagged a sort of likely conversion
17 case in the Pio Pico unit and we'll talk about
18 it.

19 Next slide.

20 And so, again, this sort of angle to
21 think about this is that we're moving away from
22 an internal combustion engine vehicle towards a
23 fully electric vehicle but there has been this
24 transition strategy of the plugin hybrid which
25 helped. I think a lot of drivers managed that

1 transition. It gave them the comfort they needed
2 and I think that's a relevant metaphor here. And
3 so what we're proposing is this hybrid storage-
4 plus-gas unit as part of this transition plan and
5 I think there's immediate opportunities here.

6 Next slide.

7 So when we studied it the benefits are
8 that you get a lot of cost effective RA. It's
9 cleaner for local communities. And you get air
10 quality and greenhouse gas benefits. So from the
11 perspective of the state, this seems like a
12 really obvious approach that we should strongly
13 consider as low-hanging fruit.

14 Next slide.

15 I want to make sure I just a few examples
16 here. And if you look down in San Diego there's
17 a unit, Pio Pico. It's got some of the fancy GE
18 technology. And you know, it's probably a plant
19 that they want to keep, the CAISO will need in
20 that area for contingencies and things like that,
21 but you do have opportunities to add storage,
22 sort of add this storage and hybridize it so that
23 you cannot burn fuel, you can keep the air clean,
24 yet you retain the sort of full capability of the
25 fleet. And in these heat storms, you do have a

1 little bit of incremental capacity, as Steven --
2 as Kenneth mentioned earlier.

3 So next slide.

4 So I do hope there are questions and I
5 would welcome that. I think what I would like to
6 leave you with, though, is that this
7 hybridization using storage is one of the only
8 solutions that we're discussing today that helps
9 all year round, not just in the heat storms,
10 although it does clearly help in the heat storms
11 too. It also fits with our clean energy and
12 renewable goals of helping our gas units do lower
13 pollution, lower GHG load following, or
14 contingency service.

15 We have seen through the Edison filing
16 that this is one of the most cost-effective tools
17 available to the state. This is extremely cost
18 effective, really high cost-benefit analysis that
19 we should take seriously. And I think it is a
20 critical part of studying our gas fleet, knowing
21 which ones we want to retire and then knowing
22 which ones we need, and then hybridizing them.
23 So I would hope we can have discussion on this
24 when the time is right.

25 And again, I really strongly recommend

1 this as something we see as a very clear, smart
2 strategy for California, so thank you.

3 MR. BARTRIDGE: Thanks Alex.

4 I want to go back folks. I accidentally
5 skipped over Mike Salvatore from Siemens.

6 So, Mike, if you're there, please, go
7 ahead and jump in.

8 MR. SALVATORE: Okay. Good morning.
9 Good afternoon everybody. I'm Mike Salvatore
10 from Siemens. I'm the Manager of Combustion
11 Turbine Models and Upgrades for Region North
12 America. And you know, this is a challenge. I
13 appreciate the opportunity to speak to the
14 Commission and other folks about what Siemens is
15 doing; right?

16 We operate plant flexibility services.
17 That's the name of the game these days. We
18 understand and remain competitive. The current
19 energy market requires new operating profiles
20 with increased flexibility. I can't say it any
21 better than that.

22 Managing this energy transition to
23 decarbonization and current legislation for lower
24 emissions, we understand, can be very
25 challenging. We feel that we have organized our

1 response scenario to walk alongside you on that
2 decarbonization journey. You know, we have
3 solutions tailored through the evaluation of
4 requirements and tasks, operational limitations,
5 what the folks need to know in terms of the asset
6 owners, in terms of putting a technology within a
7 certain envelope.

8 My colleagues at General Electric laid
9 out what they can do with different frames and
10 how far they can go and whatnot but you have to
11 look at everything. You have to look at the
12 entire envelope, whether it's a minor tweak to
13 the system versus a -- call it a wholesale change
14 of the gas turbine engine.

15 We understand benefits, you know,
16 increased dispatch; right? Move the units up the
17 curve. Improved profitability for the asset
18 owners. And all this has to be done as we move
19 towards decarbonization to maintain or improve
20 grid stability because we understand that this is
21 going to be something that has to be phased in
22 over time. And we are, like I said, we are
23 certainly with our customers at every step of the
24 way in terms of our research and development,
25 execution, staffing and whatnot, that we could

1 get there with you together.

2 So thermal performance upgrades,
3 improving capacity, improving baseload capacity,
4 improving turndown, improving other operational
5 flexibility, faster ramping and all that, we have
6 products and services for every frame in the
7 fleet. And the general principle that we go by
8 is we're basically now selecting technology from
9 our advanced engines and fitting it into that
10 envelope that I said. And we have quite a bit of
11 experience. We've upgraded over 250 combustion
12 turbines throughout the fleet over the last 10 to
13 12 years. And so we continue to learn and build
14 off of that knowledge as we continue to develop
15 other products that make the units more
16 competitive.

17 Next slide please.

18 This is our -- we call it our radar slide
19 here. And it goes from the current energy
20 systems that are available and future energy
21 systems. And we -- you know, this was
22 (indiscernible) busy initially and there's lots
23 of products and services scattered throughout
24 these three pie pieces, if you will, to get us
25 into the future. We understand that we have to

1 do this thing under a transition-type scenario
2 working with you, looking at need-specific --
3 site-specific needs again and while maintaining
4 grid stability or making sure that we can help
5 you fill the gaps, as what's happening in the
6 state of California.

7 Due to the time that we have here, the
8 short amount of time, we only have time to,
9 basically, cover a couple of examples to talk
10 about the gas turbine upgrades, I have an example
11 for that, and then the hybridization, the battery
12 hybridization on existing plants.

13 So next slide please. Okay.

14 Here's an example of a plant. And I may
15 have mentioned it, the upgrades can be done in
16 whole or in part. When we make major changes to
17 the operation of the units by modifying
18 performance levels, adding in advanced
19 technology, high-performance technology, better
20 materials, better flow path, engineering, they
21 were able to take these plants that were built 20
22 years ago and have them operate pretty close to
23 our advanced technology that's being offered, our
24 advanced (indiscernible).

25 This is an F plant, a 501F plant, where

1 we are upgrading a -- what we call an FD2 to an
2 FD2 Version 6. And the 6 is just a designation
3 that it is our advanced thermal package. And we
4 addressed the combustion system that we were
5 offering not only the better combustion system
6 that could handle increased firing temperature,
7 but also allows for maintenance flexibility, so
8 allowing you to operate longer or extending your
9 inspection intervals out as far as we can without
10 creating additional fallout.

11 With the turbine, we have gone through
12 the turbine and the compressor where we have put
13 in advanced technology turbine blades and veins
14 that are sealing. We have, specifically, a high
15 performance last-stage blade in our turbine that
16 helps drive this significant improvement that we
17 see. (Indiscernible) direct their injection
18 system, so this goes to the flexibility of
19 operation, so this allows you to minimize rubs
20 during hot and warm restarts, which a lot of
21 folks are doing today.

22 The rotor is significant because we have
23 taken the advanced technology and applied it to a
24 configuration where it doesn't directly match.
25 In other words, we basically had to develop a

1 hybrid design rotor that has the advantages of
2 the advanced technology equipment but can fit
3 into an existing unit.

4 But the key with the rotor is that it
5 allows us to significantly increase starting and
6 ramping capability. But you have to realize that
7 when you're looking at the plant, it's beyond
8 just the gas turbine, especially a combined cycle
9 plant. You have to look at the plant systems,
10 the steam turbine, the harnessing, the control
11 systems and whatnot. So all that is looked at
12 holistically. And in this case here we were able
13 to provide significant improvement in
14 performance.

15 Next slide please. Last slide.

16 And this is an example of SynerGen.
17 They're called SynerGen.

18 Next slide please. Thank you.

19 Integrated battery storage systems, the
20 generators are asked to do more and more. This
21 is the way to optimize the use of renewable
22 energy sources. Integrated battery energy
23 storage system enhances gas-fired operation.
24 Traditional battery projects just store and bring
25 power to grid with the SynerGen batteries

1 installed within the plant footprint. And the
2 BESS is integrated into the plant controls to
3 optimize use of the battery with the gas turbine
4 operation. And within those little boxes below
5 we have products and services that align to each
6 of those benefits throughout whatever way the
7 asset is operating now and in the future.

8 It appears that I've run out of time on
9 that but thank you for the opportunity, again, to
10 present to the Commission and to the other folks
11 and look forward to possibly responding to the
12 Q&A later on this afternoon.

13 Thank you.

14 MR. BARTRIDGE: Great. Thanks Mike.

15 Next up we'll have Matt Garner with
16 Roseville Energy Park. I understand that Matt's
17 working through an outage right now, so I'm not
18 sure how much time he'll have to offer comments,
19 but let me turn it over to Matt.

20 MR. GARNER: Thank you, Jim.

21 Thank you, Commissioners, for your time.
22 I appreciate the ability to discuss some of the
23 upgrades we're pursuing at the Roseville Energy
24 Park with you.

25 Right now, as we've heard from General

1 Electric and Siemens, there are lots of options
2 out there to improve flexibility, capacity, and
3 also to help with renewable integration as these
4 plants move forward to a different California.

5 The City of Roseville and Roseville
6 Energy Park are entering the energy imbalance
7 market in the end of March 2021. And so our
8 efforts have been to make it a successful entry
9 to support grid stability locally in Roseville,
10 as well as the Sacramento Valley, while improving
11 those flexibility and capacity components within
12 our power plant.

13 Not only do we have the Roseville Energy
14 Park, which is 160 megawatts max capacity
15 combined cycle gas turbine facility, we also have
16 a very small peaking facility with two General
17 Electric Frame 5s, MS5001Ps. It's a small
18 peaking facility. And we're looking at
19 addressing issues with that that could make it
20 more valuable to the energy imbalance market as
21 well.

22 We've got many items that we've looking
23 to install to upgrade. But we are running into
24 issues with item six on the list of questions
25 that were given to us and that's lead times

1 because of the COVID situation that we're all
2 facing.

3 Right now we are looking at combustion or
4 advanced gas path upgrades to lower our min
5 power, increase our maximum power, to get greater
6 efficiency, roughly 0.06 percent out of each gas
7 turbine, and also to increase combustion
8 stability regardless of ramping and regardless of
9 ambient conditions while we do the ramping up and
10 down to support the integration of solar and
11 other renewable resources. And we're planning on
12 doing this, obviously, while remaining in
13 compliance with all our current permit
14 limitations.

15 All the CT upgrades, combustion turbine
16 upgrades, and steam turbine upgrades can be done
17 during our normal planned maintenance. We are
18 looking at other upgrades to the facility. Inlet
19 chilling, as was mentioned earlier, heat blankets
20 for steam turbines to improve cycling and keep
21 that unit warm when the facility is offline,
22 those things can be done both online and offline
23 as long as it's planned and done and staged
24 correctly.

25 With any of these turbine improvements or

1 plan improvements that we look to doing,
2 obviously, a thorough financial analysis is done.
3 Because these are large capital expenditures, we
4 need to ensure that the costs can be recovered
5 from the market, so those are all evaluated.

6 I'm not going to go into great detail on
7 the technologies because GE and Siemens both
8 covered those very well, I think, and those are
9 fairly standard throughout the gas turbine fleet.
10 What can be offered by both of those companies,
11 both have benefits that they can offer.

12 What I am going to highlight, along with
13 the fact that we are looking to upgrade to
14 support the renewable integration, is the fact
15 that we are running into very, very significant
16 real blocks and issues due to the COVID virus.
17 We were looking at performing a lot of these
18 upgrades in spring of the year. We're taking
19 steps to get that done, including steps to amend
20 our permits, et cetera. But what we're finding
21 is that due to COVID, due to the lockdowns in
22 Europe, due to the Canadian border being shut
23 down, not only are we experiencing resource
24 issues in getting components, getting labor, but
25 our primary suppliers, which for the Roseville

1 Energy Park is Siemens, is experiencing issues as
2 well. Once again, who would have thought we
3 would be facing what we face today, but we are
4 looking forward to successfully moving forward
5 with that. It's just we have to --

6 MR. BARTRIDGE: Matt, we lost you.

7 MR. GARNER: -- overcome --

8 MR. BARTRIDGE: I think you're on mute.
9 Are you still with us?

10 MS. GALLARDO: This is Noemi. I can
11 still hear him.

12 MR. GARNER: I'm not muted. I'm looking.
13 No, I'm not muted.

14 MS. GALLARDO: Go ahead and continue,
15 Matt.

16 MR. GARNER: Okay. Thank you. Okay.

17 So we are working very closely with
18 Siemens and our other suppliers to try to ensure
19 that we can get the resources here, components,
20 people. And once we have the people onsite,
21 we're taking, obviously, great efforts to make
22 sure that they can work safely with proper
23 distancing, PPE, and disinfecting protocols in
24 place.

25 Once again, I'm not going to go into the

1 specific upgrades to the gas turbines because
2 they're pretty common across the industry and GE
3 and Siemens already covered both of those.

4 That pretty much takes care of what I
5 wanted to present and what I want to discuss.
6 Once again, I appreciate your time.

7 MR. BARTRIDGE: Great. Thank you, Matt.

8 Next up we'll hear from Ross Gould with
9 SMUD, Sacramento Municipal Utility District.

10 MR. GOULD: Good morning everybody. My
11 name is Ross Gould. I'm the Director of Power
12 Generation here at SMUD. And I actually have a
13 case study that seems to be pertinent to the
14 discussion today. So I'm going to talk about the
15 Cosumnes Power Plant advanced gas path upgrades.

16 So next slide please.

17 Okay, so in June of 2017, there was a
18 heatwave in June that wasn't particularly
19 notable, except for the fact that we had some
20 externalities that made it challenging. So going
21 into that summer, our calculated load-serving
22 capacity, load source adequacy calculation was
23 about 3,350 megawatts. Our previous all-time
24 high load, which was in 2006, was right at 3,300.
25 And since that time, since 2006, the load had

1 been hovering around 3,000 megawatts.

2 So there's a lot of things that go into
3 the calculation for procuring capability. But in
4 real and general terms, you can stand back at the
5 end of the day and look at the calculation and if
6 you're one-in-ten forecast plus ten percent, then
7 you should be okay, and that should put you in
8 the ballpark.

9 So in summer of 2017, several outages
10 kind of combined to reduce our load serving
11 capability. We had one hydro facility that had
12 mechanical issues. There was a neighbor facility
13 that was de-rated due to mechanical issues, and
14 the California-Oregon Intertie Transmission Line
15 was de-rated due to maintenance work, so our load
16 serving capability was now down to about 3,100
17 when the June 19th heatwave came in 2017 and
18 SMUD's system peak load reached 3,149, which was
19 greater than our current load-serving capability
20 after those de-rates.

21 So we had four consecutive days above
22 that record. And it required us to use some
23 mitigation tools and to arm the air conditioning
24 load management system and some other systems
25 that allowed us to get through that summer. So

1 the system worked. We did get through. But
2 afterwards we always looked back and we
3 reexamined our assumptions and calculations and
4 came to the conclusion that we needed to increase
5 our load-serving capability very quickly. So we
6 kicked off several projects to do that, capacitor
7 banks, some transmission bottlenecks, and then
8 this advanced gas path at Cosumnes Power Plant.

9 The next slide please.

10 So the Cosumnes Power Plant is a 500
11 megawatt combined cycle gas turbine facility with
12 GE technology, GE 7FA two-on-one. It's been in
13 operation since 2006. And both those gas
14 turbines were actually due for a major overhaul
15 and that's what makes this upgrade work. We had
16 already been studying the modifications and
17 upgrades and talking to GE about whether it makes
18 sense to do it. And when the need came together
19 with the opportunity, we took advantage of the
20 advanced gas path upgrade opportunity and
21 increased our load-serving capability by 56
22 megawatts for the plant, increased our heat rate
23 by two percent, and the return on investment was
24 really attractive, less than two years.

25 Next slide please.

1 What actually happens inside of an
2 advanced gas path upgrade, you know -- and GE
3 calls it advanced gas path, Siemens calls it
4 Si3D -- they're very similar conceptually. All
5 heavy-duty gas turbines tend to have this upgrade
6 potential so that increased thermal barrier
7 coating on the blades improve sealing technology
8 to make sure that the gases go through the system
9 and not around it, and then upgraded materials to
10 absorb some of that extra -- the pressures and
11 the temperatures. All of that allows you to
12 build on a combustor that burns more gas more
13 efficiently, so in this case the (indiscernible)
14 project increased output, increased efficiency.

15 So next slide please.

16 So what does it actually look like? Here
17 on the right there's a picture of the upgraded
18 gas turbine rotor being flown into place. And
19 then on the left is the, actually, the
20 installation of the transition pieces that
21 connect the combustors to the hot section of the
22 gas turbine. And I just put these in here
23 because everybody likes the shiny stuff.

24 I will note there's a chart down there
25 that shows the actual output upgrade result.

1 Generator net output for one gas turbine went
2 from 174 megawatts to 196 megawatts, which is a
3 little bit more than a 13 percent increase, and
4 that meant it's tolerant. And the net heat rate
5 improved by 2.2 percent.

6 So of note here is that we weren't able
7 to test for about six months after the upgrades
8 were complete. That was due to the timing of the
9 air permit.

10 So next slide please.

11 And I've been rushing a little bit
12 because this is what I wanted to get to. Some of
13 the reasons why this can be challenging is, first
14 of all, prorating. When you increase your
15 potential to emit you have to go through a best
16 available total technology review and a Title V
17 process and that takes time.

18 We approached the Sacramento Metropolitan
19 Air Quality Management District and we attempted
20 to get an accelerated review of our Title V
21 permit. We weren't actually able to get that.
22 But what we did manage to do was strike an
23 agreement with the Air Board that we would be
24 able to implement the upgrade and not turn it on,
25 but we implemented the upgraded during our

1 overhaul and then ran it at a lower power level
2 until the Title V permit was completed.

3 There's also considerations with the
4 California Energy Commission decision. You have
5 to do a permit to amend and go through that
6 process but the CEC was amazing during that
7 process. They were completely committed to
8 helping us reach our goal at the end point.

9 And then there's lots of balance of plant
10 impacts. If you change out the gas turbine,
11 (indiscernible) at the middle of the plant, then
12 everything else changes, you know, water usage,
13 HRSG pressure limits, steam turbine flow
14 restrictions, NERC compliant, all kinds of stuff
15 that you have to do, so you have to completely
16 broaden your perspective on what you're looking
17 at when you consider these upgrades.

18 So that's my presentation. Thank you.

19 MR. BARTRIDGE: Thanks Ross.

20 Next we'll move to Frank Messineo with
21 Burbank Water and Power.

22 MR. MESSINEO: Good morning. My name is
23 Frank Messineo. I am the Power Production
24 Manager with the City of Burbank Water and Power.
25 And I'd like to discuss some enhancements we're

1 working on for Magnolia Power Project today.

2 Next slide please.

3 So Magnolia Power Project is a Southern
4 California Public Power Authority project. It
5 has six participant cities, including Anaheim,
6 Burbank, Cerritos, Colton, Glendale, and
7 Pasadena. And Burbank is also the operating
8 agent for the project.

9 It's a combined cycle gas plant that
10 includes a General Electric Frame 7 combustion
11 turbine and a General Electric A14 steam turbine.

12 Magnolia Power Project was commissioned
13 in 2005. And it was intended as a baseload power
14 plant.

15 Next slide please.

16 So some of the challenges that we've seen
17 over the years is increase in renewables and
18 integration of renewables has decreased the need
19 to operate at baseload. And it has increased a
20 need for greater flexibility. And some of the
21 issues that we face is our operating range is 165
22 megawatts to 300. The ramp rate is about five
23 megawatts upward per minute and two-and-a-half
24 downward. And we're limited to about five starts
25 per month. It's a highly efficient unit but it's

1 not something we could start and stop rapidly.

2 It takes hours, not minutes.

3 Next slide please.

4 So we've been looking at this for years
5 and evaluating different technology. We
6 ultimately decided to enter an agreement with
7 General Electric for some combustion turbine
8 enhancements that would help us address our
9 concerns. We went with two upgrades. One is
10 called an overboard bleed system. And the other
11 is a new product for this specific turbine and
12 that's axial fuel staging.

13 We implemented and tested back in March
14 of this year. And the axial fuel staging being a
15 new product, we determined that -- well, it was
16 successful, I should start with saying that, that
17 it achieved a reduction in turndown. However, we
18 did identify a need to increase durability of
19 some of those components, so that's something GE
20 is working on, and we'll be installing the final
21 product in 2021. But what we're looking at is
22 receiving an enhanced operating range and
23 increase of turndown of 74 megawatts. So we'll
24 be able to go down to 91 megawatts as our minimum
25 output or, possibly, better. And the ramp rate

1 will be at least double of what we have now.

2 So one of the main things that a few of
3 the others have talked about, these type of
4 projects really need to be planned several years
5 in advance for permitting, as well as
6 manufacturing. And what really makes or breaks
7 projects like this is the ability to align them
8 with existing major maintenance. So if you're
9 able to do this at the time you were planning to
10 do an overhaul you have avoided costs; right? So
11 that makes this more attractive. You're able to
12 divert money you were going to pay for like-in-
13 kind replacement parts to an enhancement.

14 And next slide please.

15 Oh, sorry. That concludes my
16 presentation. Thank you.

17 MR. BARTRIDGE: Thank you, Frank.

18 Next up we'll hear from Matthew Zents
19 from Southern California Edison.

20 MR. ZENTS: Good morning, Commissioners
21 and panelists. Thank you for your time today.
22 I'm Matthew Zents from Southern California
23 Edison. I was the Project Manager that oversaw
24 all the work to convert two of our peaking plants
25 from a standard peaking plant to a battery

1 turbine hybrid. This is General Electric's CGT
2 offering enhanced gas turbine.

3 These plants were originally put in
4 service in 2007. And then the upgrade was done
5 between 2016 and 2017. In addition to the
6 battery, we actually upgraded our emissions
7 control system as well. The reason why we did
8 that is when the plants were first built they
9 could, the way our air permit was structured,
10 they -- we could ramp up and down through the
11 range and meet our emissions permit, we just
12 couldn't hold at anything below, pretty much,
13 pmax (phonetic) and still be emissions compliant.
14 So we upgraded our SCR catalyst and replaced our
15 CO catalyst, and then changed the ammonia from 19
16 percent to allow the ammonia to do more of the
17 NOx reduction and, you know, less NOx water.

18 So in terms of lead times, you know, this
19 isn't a project that you can do in a standard
20 one-week peaker outage. You can, however, do the
21 cutover in that work, which is what we did.

22 But in terms of lead times, we were
23 seeing four months for invertors, transformers
24 and switch gears, approximately six months for
25 the NOx and the CO catalyst material.

1 Construction of the battery was approximately
2 four months which included one month for the BESS
3 commissioning and then approximately three months
4 for the emissions control system upgrade, which
5 included one week for testing and commissioning,
6 including the gas compressors, the ammonia
7 system, and the emissions reduction unit.

8 Next slide please.

9 So these are -- this is just a quick
10 overview of some of the objectives we had and the
11 results. And, you know, we went from a standard
12 peaking plant, which is pretty much non-spinning
13 energy to spin and rev and rev down, in addition
14 to energy. So we converted our utilization from,
15 you know, ten -- roughly 10 percent to,
16 essentially, 100 percent because, you know, in
17 spin we're providing the full capacity of the gas
18 turbine without burning any fuel. So in essence,
19 we're on all the time.

20 So you know, from getting paid through
21 the market, it's a much better return on
22 investment for our peaking plants being the
23 hybrid, you know, rather than just the standard
24 peaking plant. So obviously, we really increased
25 our market services. We increased our asset

1 utilization. In the first year of operation we
2 have data that shows that our fuel savings was
3 reduced -- or increased and our emissions were
4 reduced. We actually had starts and run hours
5 about half of what we experienced at our three
6 non-hybrid peaking plants.

7 Decreased water consumption. Again, we
8 really dialed back the NOx water in the
9 combustor, so that increases the life of the
10 turbine because you're not putting all that NOx
11 water in there, you know, having, you know, an
12 erosion effect on your thermal barrier material
13 coating.

14 And our decreased maintenance, I put,
15 "Not met there." The reason being is we're in
16 the process of pulling out our turbines and
17 changing out hot sections and doing, you know,
18 some major overhauls. And the reason for that
19 is, you know, these things are pretty heavy-duty
20 service. And so the expectation going forward
21 is, once they return to service with the
22 different operating profile, we'll get a lot
23 more, you know, hours out of the engines and be
24 able to reduce our maintenance costs. So we
25 fully expect to realize that. It just didn't

1 happen in the short term.

2 Next slide please.

3 So I wanted to -- I put this slide in
4 there to let the audience know some things that
5 happened to us that we didn't expect.

6 So the first bullet there, when we put
7 our battery online we had a ton of drop response
8 events, upwards of about 600 a day. And what
9 were finding is our batteries were getting
10 drained every day because they kept getting
11 pinged by the system. And so, you know, we'd end
12 up having to start the turbine just to charge the
13 batteries which, you know, the Independent System
14 Operator is wondering, you know, what we're doing
15 and why we're doing it because we weren't called
16 to dispatch. So it took us a while to figure
17 that out. And it was resolved with tuning.

18 So anybody that puts a battery online,
19 you know, just be aware that there may be some
20 things that happen that you're not expecting.

21 The second thing that we didn't expect
22 were these unusual dispatches on our gas turbine.
23 So you know, we would get some very unusual
24 dispatches, for example, like 12 megawatts for
25 seven minutes which, you know, obviously we went

1 from, you know, going from, say, 47 to 49
2 megawatts, you know, not much of a range between
3 pmin and pmax to being able to dispatch anywhere
4 between zero pmax and then everywhere in between.
5 So we didn't really expect that.

6 And I think the takeaway here is that for
7 future projects you may want to consider a bigger
8 battery so that you're not running your turbine
9 in these little, short runs. And a lot of this,
10 I think, is coordination between the operator and
11 the Independent System Operator. Because, you
12 know, again, these were the first two hybrid
13 plants anywhere in the world, so I don't think
14 anybody really knew what to expect in terms of
15 how they'd run and be dispatched. So this was
16 something very strange that we didn't expect.

17 And then the last bullet that I want to
18 talk about is the mismatch between the Edison
19 data and Independent System Operator data which
20 resulted in a number of these, what we call, a
21 clawback award. And you know, we were,
22 basically, seeing where the Independent System
23 Operator couldn't really tell that -- they
24 couldn't tell if the plant was on or off, so they
25 couldn't see the power system stabilizer or the

1 automatic voltage regulator or this Yukon
2 (phonetic) bit because, you know, obviously,
3 it -- if it doesn't look like the unit's on it
4 can't be dispatched.

5 You know, prior to these projects we, you
6 know, were in, you know, a dispatch mode where
7 we'd call the operator and they would dispatch
8 it. We converted them to automated grid
9 dispatch. So we had some issues to work through
10 with our rate telemetry and so that, you know,
11 both the System Operator and our operators were
12 synced so they knew when the units were on and
13 off.

14 So these are things that, you know, as
15 lessons learned, you know, work very closely with
16 the System Operator so that you can work out some
17 of these unusual bugs.

18 And that concludes my presentation for
19 this morning. And I'd like to thank everybody
20 for the opportunity to speak.

21 MR. BARTRIDGE: Great. Thank you,
22 Matthew, and thanks to all panelists this morning
23 for the great discussion.

24 We'll hold questions and discussion until
25 after we've heard from Panel 2, at which point

1 we'll first turn to Commissioners, followed by
2 public comment.

3 Here's the list of the panelists for
4 Panel 2: Barbara McBride with Calpine; Jan
5 Smutny-Jones with Independent Energy Producers
6 Association; Dennis Jang with Bay Area Air
7 Quality Management District; John A -- sorry
8 John, I don't want to try with that one -- with
9 San Diego Air Pollution Control District; Tom
10 Jordan with San Joaquin; Amir, same to you,
11 sorry, Amir; Eric Knight, Dawn Weisz, and Deb Le
12 Vine, that's Energy Commission, Marin Clean
13 Energy, and California Independent System
14 Operator.

15 So with that, let me turn it over to
16 Shawn Pittard, Deputy Director of the Siting,
17 Transmission, and Environmental Protection
18 Division, who will moderate Panel 2.

19 Thank you.

20 MR. PITTARD: Hi there. I don't see my
21 video. Am I good?

22 MS. GALLARDO: You're good, Shawn.

23 MR. PITTARD: All right. Thank you.

24 Hello. As Jim said, my name is Shawn
25 Pittard. I'm the Deputy Director for the Siting,

1 Transmission, and Environmental Protection
2 Division at the CEC. We've implemented the Power
3 Plant Program for 45 years now and have conducted
4 landscape-scale environmental and land use
5 planning studies to support renewables
6 development and transmission line siting for the
7 past 20.

8 We all know that the CEC has jurisdiction
9 over thermal power plants greater than 50
10 megawatts. We provide regulatory oversight for
11 the entire lives of these projects. This
12 includes permitting, acting as the state's chief
13 building official during construction, conducting
14 compliance monitoring and enforcement during
15 operations, and decommissioning at the end of the
16 project's life.

17 Some quick stats. The Commission has
18 reviewed 240 applications to build power plants
19 in California. It's approved 128 of those 240;
20 106 have been constructed. Currently, we oversee
21 79 operational power plants. That's about 28,000
22 megawatts of electricity, 25,000 megawatts of
23 which is natural gas.

24 So our work puts us in close contact with
25 power plant owners and operators, the Air

1 Districts, the California Independent System
2 Operator. Representatives of those entities and
3 Marin Clean Energy make up the next panel.

4 On our first panel -- and thank you all,
5 that was a wonderful panel, that was great, thank
6 you very much -- on our first panel we heard
7 about potential technology improvements and their
8 benefits. This panel will help us understand the
9 opportunities and challenges associated with
10 making those improvements.

11 So we'll start with Calpine Corporation.
12 I'll turn first to Barbara McBride.

13 And, Barbara, could you share your
14 thoughts with us?

15 MS. MCBRIDE: I could if I got off here;
16 right? So hi. I'm Barbara McBride. And I've
17 been at Calpine almost as long as Shawn has been
18 at the Energy Commission.

19 But I wanted to thank the CEC for putting
20 this together. I think this is a very important
21 topic. And you know, I think it's very timely to
22 talk about these upgrades and how we go forward.

23 So next slide.

24 So this is, basically, Calpine at a
25 glance. Calpine serves wholesale and retail

1 customers in 24 states, Canada, and Mexico. We
2 are the largest geothermal and combined heat and
3 power producer in America. We have 6,000
4 megawatts of combined cycle natural gas
5 facilities in California, 500 megawatts of
6 peaking capacity, and 725 megawatts of baseload
7 renewable energy at the geysers.

8 In addition, we just got permitted a
9 solar-plus storage facility in Kern County. And
10 we do have several other battery storage
11 facilities that we -- that are in various stages
12 of development.

13 In addition to that, we are piloting two
14 carbon capture and storage pilot plants at our
15 Los Medanos Energy Center.

16 Okay. Next slide.

17 The technologies that we heard about this
18 morning, these are the technologies, really, that
19 Calpine went through to determine what upgrades
20 we could do to get more -- or to get 2021
21 incremental capacity. And we went through a
22 step-by-step process for each facility, looked at
23 each facility, looked at the upgrades, and saw
24 what made sense and what didn't make sense.

25 What we came up with is we really think

1 the combustion turbine upgrades are the preferred
2 technology because of the incremental megawatts
3 achieved and the efficiency improvements that we
4 get with the extra benefit of producing less
5 emissions for each individual megawatt. These
6 improvements, however, do require significant
7 capital investment. And we do need to make
8 procurement commitments on these combustion
9 turbine upgrades by December of 2020.

10 In addition, we did -- I know we talked
11 about, a little bit, about the chillers this
12 morning. We looked at chillers and why they
13 weren't really a viable 2021 technology is
14 because of the engineering and procurement. It
15 takes about a minimum of 18 months. And our
16 facilities, also, already have fogging, so the
17 incremental megawatts that you get from the
18 chillers is not as substantial as it would be if
19 we didn't have those fogging.

20 Okay. Next slide.

21 In addition to technology selection, what
22 we did is we looked at permitting path. We
23 looked at outage schedules. We looked at
24 limitations due to LGIA constraints on our
25 analysis. In the end, we came up with several

1 possible options totally about 90 to 95 megawatts
2 of capacity that we could put in by the summer of
3 2021.

4 In addition to this, I wanted to give a
5 great shoutout to CEC staff and the Air District
6 staff for coordinating over the last couple of
7 weeks and talking through what is the permitting
8 path for doing these upgrades. Because, mainly,
9 what we looked was combustion turbine upgrades
10 and p-firing (phonetic), and so they were very
11 good about discussing what the permitting path
12 was and how we get this completed, so thanks to
13 you guys.

14 All right. Next slide.

15 So here's what we came up with for Summer
16 2021. We, as we said in the last slide, we
17 looked at the possible technologies. We
18 determined that -- we went through the process
19 and looked that there was interconnection or
20 transmission upgrades that were necessary for
21 these specific facilities that we came up with.
22 We confirmed the vendor available with GE and
23 Siemens. We submitted air permit applications
24 for these combustion turbine upgrades. And in
25 addition, we are also having conversations with

1 the CAISO to see if more outages could be
2 extended, accelerated, and working with them on
3 timing on that.

4 The big remaining issue that we have is
5 procedure. These all -- all these upgrades
6 require significant capital investments, and when
7 you start considering accelerating outages and
8 outage extensions, so that just adds to the cost
9 of putting these upgrades in place by the summer
10 of 2021. So basically, what we need to do is
11 make all these procurement requirements by
12 December of 2020 so that we can actually install
13 these in our outages in April and May of next
14 year.

15 And so Calpine is willing to make all
16 these expenditures. But we need sufficient
17 contracting to cover the incremental costs
18 securing these resources. So like I said before,
19 we need to make these commitments by December, so
20 we need to have a clear procurement path over the
21 next couple weeks.

22 So next slide.

23 So in addition to 2021 capacity, we
24 looked a little forward to see what we could do
25 in 2022, 2023, and 2024. So looking past 2021,

1 we can -- we are also looking at additional
2 combustion turbine upgrades that we could do.
3 And these were combustion turbine upgrades that
4 we couldn't do for summer of 2021 because of
5 either outage constraints or LGIA constraints.
6 And so -- but we are continuing to look at those
7 to see what we can do for, potentially, 2022 and
8 2023.

9 In addition, we do have a potential
10 project at our Pastoria Energy Facility, which is
11 highlighted here. It's an additional 200
12 megawatts of capacity that we can, basically,
13 bring on by either 2023 or 2024, depending on
14 what the permitting path looks like. This is
15 actually adding an additional turbine to our
16 existing facility. We have, you know, we have
17 the land. We have the -- we have -- you know,
18 there's no required additional reduction credits.
19 It's not in a disadvantaged community. So this
20 is actually a great project for bringing on an
21 additional 200 megawatts by late Summer 2023,
22 2024.

23 In addition, for further in the future,
24 like I said before, we do have two carbon capture
25 and storage pilot projects at our Los Medanos

1 Energy Center. And we really think the CCUS is a
2 retrofit for the future. They're very economical
3 biotechnologies that can provide clean and firm
4 power.

5 And I think that's all I have. And I
6 look forward to talking further and answering
7 questions on this.

8 MR. PITTARD: Great. Thank you, Barbara.

9 Our next panelist is Jan Smutny-Jones
10 from the Independent Energy Producers.

11 MR. SMUTNY-JONES: Thank you very much.
12 I appreciate the opportunity to participate in
13 today's panel. And I want to thank Commissioner
14 Douglas, President Batjer, and Commissioner
15 Randolph, and Chairman of the Energy Commission,
16 as well, for participating in today's panel.

17 IEP, obviously, represents a large number
18 of different types of resources in California,
19 including utility-scale solar, geothermal, wind,
20 biomass, battery, long-duration storage, as well
21 as most of the independent gas fleet. And we
22 believe in a diverse portfolio of resources that
23 are bringing different technologies with unique
24 attributes to the California grid.

25 The events of August are a big reminder

1 that we have the need for this mixed portfolio.
2 And I think as the data shows that at net peak on
3 August 15th there was about 27,000 megawatts of
4 gas generation online, meeting the needs of the
5 grid. That was about 60 percent of the supply we
6 provided.

7 So today the discussion has centered on
8 meeting -- how to use this existing generation in
9 a way that can be added to. And I want to
10 underscore the point that we're not talking here
11 about building, you know, brand new power plants
12 all over the state of California but, pretty
13 much, squeezing out efficiencies on the existing
14 fleet that's out there.

15 I think the previous panel has done an
16 excellent job, and Barbara did a great job of
17 putting forward some of the challenges, but
18 opportunities that are there. I think the SMUD
19 presentation, my hometown utility, did a good job
20 with a case study in terms of how these
21 improvements can actually assist the grid and
22 actually have a positive environmental impact as
23 well.

24 So I'm going to focus, basically, on a
25 couple of other quick things.

1 First of all, I think as you've heard
2 this morning, there are sort of these subsets of
3 things that can be done immediately, some done by
4 summer of 2021 and some longer term. So there
5 are some operational considerations that can be
6 made with respect to increasing firing
7 temperatures, et cetera. This will have an
8 impact on the equipment and may require air
9 quality permit reviews. There are sort of a list
10 of different types of equipment upgrades that
11 could be made, some which may be able to be made
12 in 2021. I think as Barbara indicated, and I've
13 heard a similar thing from my other members,
14 other types of improvements, however, may bleed
15 over to 2022 and beyond.

16 I think it's important to look at all of
17 this in the consideration. We do have other
18 challenges in the system, you know, as we're
19 trying to meet our goals with respect to a
20 carbon-free future.

21 Diablo Canyon is the first unit designed
22 to go off or scheduled to go off in 2024. We
23 are, effectively, in 2021. We've got 29 days
24 until we bring in a new year. And I think I
25 probably can speak for the entire group that's on

1 this panel today, that the sooner we get to 2021
2 the better.

3 We also have a situation where the once-
4 through cooling units that have been, basically,
5 carried over beyond their retirement dates are
6 also designed to come offline. There may be
7 some -- there are some opportunities to replace
8 some of that generation but that is happening.

9 And then we have the potential for
10 extended droughts, which is something I recently
11 heard about. And the concern, of course, is that
12 we've experienced that earlier in this decade and
13 to had an impact on how the gas fleet operated.

14 So the key here is regulatory issues, the
15 timing. We need a procurement of these resources,
16 or clear signals, from the PUC pretty rapidly as
17 to whether or not there is a desire to make these
18 investments in these plants. And that also
19 entails a cost recovery mechanism. Both of these
20 are generally debated. But my hope here is that
21 we can utilize previous experiences where we have
22 added peaking generation in 2002 time frame, and
23 then again in the late 2000s to, basically, add
24 additional resources, so that's key.

25 This has to be done consistent with

1 environmental regulation. Obviously, the Energy
2 Commission has a big role in this, ensuring that
3 the improvements that are made here are
4 consistent with their licensing requirements.

5 And then the air quality issues, which
6 are very significant, coming up with respect
7 to -- and there's panelists speaking -- to make
8 sure that these units which are, you know,
9 heavily regulated under California Law, both with
10 respect to criteria pollutants and greenhouse gas
11 pollutants, ensuring that these, basically, meet
12 the requirements, that these upgrades are with
13 their permits and, if not, adjusting the permits
14 in such a way that allows them to move forward.

15 Time constraints are we need the
16 approvals. We need to secure, you know, a plan
17 to schedule outages for these units. And a CEC
18 decision that these upgrades would be, hopefully,
19 within existing licenses. If not, a recent
20 appellate decision may have an impact on the
21 timing of how some of these improvements can be
22 made.

23 So the cost recovery issue is key. And
24 again, I think it's important that -- critically
25 important that we, basically, improve our system

1 in a manner that's consistent with our ultimate
2 goals.

3 The quickest way to set back our drive
4 towards a carbon-neutral future is to undermine
5 reliability and affordability. So I think
6 California ratepayers are expecting us to be able
7 to keep the lights on under all conditions. And
8 my membership, IEP membership, will continue to
9 do our part to make sure that that happens.

10 Thank you.

11 MR. PITTARD: Great. Thank you, Jan.

12 Now we're going to hear from
13 representatives of four Air Quality Management
14 Districts. We'll start with Dennis Jang from the
15 Bay Area Air Quality Management District.

16 Dennis?

17 MR. JANG: Good morning everybody. I'm a
18 Supervising Engineer at the District. And my
19 group handles the power plant permits.

20 In terms of -- I was just going to say,
21 we recognize the importance of these
22 improvements, particularly in light of what
23 happened in August with the Governor's emergency
24 order which resulted in some facilities going
25 offline and operating backup diesel generators,

1 so we certainly don't want to see that happen.

2 I'm just going to talk a little bit about
3 how to expedite the permit process. I think,
4 obviously, one thing is to have as much lead time
5 as possible. And generally, meeting -- pre-
6 meeting prior to submitting an application is
7 important. We can determine, first of all,
8 whether an application is even necessary.
9 Sometimes, I think, it could be handled
10 administratively, particularly the flame
11 temperature software improvements.

12 In terms of what we want to see in an
13 application, obviously, we want to know, what are
14 the emissions' impacts? Are there increases?
15 We're particularly interested in increases in
16 fuel use capacity which, obviously, is an
17 increase in potential to emit. We want to know,
18 are there going to be any changes in permit
19 conditions? Is the CEC license going to be --
20 require changes or approval? The Title V permit,
21 whether that's going to be affected? That, as
22 was mentioned before, that's a long lead time
23 there.

24 So overall we just feel like the more
25 information provided as soon as possible the

1 sooner the permit can be issued.

2 That's, basically, all I had today.

3 MR. PITTARD: Terrific. Thank you,
4 Dennis. Really appreciate your participation.

5 Next we'll hear from the San Diego Air
6 Pollution Control District.

7 John, I know that Jim didn't take a shot
8 at your last name. I think I might take a pass,
9 as well, but kick it over to you, John.

10 MR. ANNICCHIARICO: Okay. Thank you.
11 Can you see me at this point?

12 MR. PITTARD: Sure can.

13 MR. ANNICCHIARICO: Great. Well, thank
14 you. My name is John Annicchiarico. And I'm an
15 Engineer at the San Diego County Air Pollution
16 Control District. And so I also wanted to thank
17 the CEC and the panelists for a very informative
18 discussion so far.

19 I also want to echo some of Dennis's
20 comments on what's important when we're taking in
21 applications. And we'd really love to have early
22 conversations and pre-application-type meetings
23 so we can understand the project and do a little
24 research on it, and so we can inform prospective
25 applicants of what's needed.

1 Next slide please.

2 So here at the APCD and I just wanted to
3 touch on a couple. I have a few slides on how we
4 achieve and maintain our Ambient Air Quality
5 Standards. But I also wanted to mention that all
6 of our programs, all of our rules, they have cost
7 effectiveness built into them. And so our
8 downstream permitting actions that I'm going to
9 discuss, they carry that through.

10 Next slide please. I can't see the slide
11 yet. Oh, here it comes.

12 Okay, so this slide, it shows that we're
13 decreasing ozone-forming emissions on the left.
14 And on the right we have our ambient ozone levels
15 that have been measured. So I just wanted to
16 point out, we do -- we have shown tremendous
17 progress. But we do have some improvements
18 needed to get down to the levels that the state
19 and the EPA had required of us.

20 Next slide.

21 So here you can see that we are not in
22 attainment for either the state or the federal
23 eight-hour Ozone Standard, or the state standards
24 for PM10 or PM2.5.

25 Next slide. So we can move on to the

1 next slide.

2 So this slide just shows that we do
3 anticipate, with the plans that we have, these
4 are predictions through CARB's model of our air
5 quality data, that we anticipate we will achieve
6 attainment for the Ozone Standards in 2032.

7 Next slide.

8 So as I said, my role at APCD is in
9 permitting. And turbines are -- and power plants
10 are just one of the many different types of
11 processes and equipment that we permit. Here's
12 some data on the number and the different sizes
13 of turbines that we have.

14 Next slide.

15 So here are two actual examples of the
16 hot gas path permitting actions that we've had.
17 So, for example, one, which was a more simple
18 process for us, for APCD, there was an increase
19 in the firing temperature. But the firing rate
20 did not go over what was the limit on the permit.
21 And, also, there was no megawatt output increase.
22 Significantly, there was no increase in the
23 emissions. And because of all of that, this was,
24 for us, a very short review period. And it took
25 about four months to approve this.

1 Example number two did have an increase
2 in the firing rate, also, megawatt output
3 increased. We did work with the applicant for
4 taking voluntary permit limits that lowered some
5 pollutants. But we weren't able to do anything
6 about the increase. There was an increase in SO2
7 emissions. This ended up being a significant
8 modification to the Title V permit but we did get
9 through this. We did approve it. It took about
10 15 months for that approval process.

11 So that's my presentation. Thank you.

12 MR. PITTARD: Thank you, John. That was
13 very, very helpful. Much appreciated.

14 Let's move to the San Joaquin Valley Air
15 Pollution Control District.

16 Tom Jordan?

17 MR. JORDAN: Good morning. And thank you
18 for including us in this discussion. I think one
19 of the messages that's been shared is, as far as
20 air quality permitting goes, the earlier you can
21 talk to the Air Districts the better in making
22 sure that we can be responsive to your projects
23 and move them forward.

24 I think Dennis and John did a good job of
25 talking about the permitting process. I wanted

1 to talk a little bit about what makes things
2 slightly different in the San Joaquin Valley.

3 Most of you are probably aware that the
4 valley faces some pretty significant air quality
5 challenges under the Federal Clean Air Act.
6 Because of our topography and meteorology, we are
7 classified, along with our partners to the south,
8 South Coast, as extreme nonattainment under the
9 Federal Clean Air Act, which is the highest level
10 of nonattainment you can be. Along with that
11 designation comes more rigorous requirements when
12 we permit projects, lower thresholds where
13 projects are considered Title V facilities,
14 requiring that more extensive review.

15 So the goal, as I understand it, of a lot
16 of these upgrades is to increase power output.
17 And at these major source facilities here in the
18 valley that's, more than likely, going to trigger
19 new source review at those facilities, require
20 review of whether those facilities have backed in
21 place best available control technology and, if
22 they don't, modifications would have to be made
23 to meet those requirements.

24 And then, also, depending on the
25 facility's situation, and it's very facility-

1 dependent on potential to emit versus actual
2 emissions, and some things that would need to
3 be -- you know, we'd need to have discussions
4 with the facility to go into there's a good
5 chance that offsets may be required, as well, for
6 these modifications.

7 So I think, going all the way back to
8 Ross Gould's presentation earlier, the earlier
9 the better. If you're thinking about making
10 modifications, especially if those modifications
11 are intended to go online in 2021, those
12 discussions need to start happening now. And
13 before a permit application is submitted our
14 staff is more than happy to meet with folks and
15 talk to them about any potential requirements and
16 the likely path to a successful permit
17 application.

18 We do have a process in place here in the
19 valley where people can pay for expedited
20 processing of permits. They basically are paying
21 for overtime work outside of normal hours to get
22 their permit processed so that is an option. But
23 as has been mentioned, if you trigger Title V and
24 federal permitting requirements, some of those
25 things just take time. There's noticing

1 requirements. There's other things that make
2 that process a longer process than if they simply
3 fall under our local permitting requirements.

4 So I guess my message would be we're, you
5 know, we're happy to help and to move projects
6 forward as quickly as possible to help meet the
7 energy requirements of the state. But there are,
8 you know, processes and requirements in place
9 that we just can't accelerate any faster than
10 they can happen. So if you're thinking of making
11 upgrades, especially in the next year, you need
12 to be talking to us now. And we'd be happy to
13 help you move your project forward.

14 So thanks.

15 MR. PITTARD: Great. Thank you, Tom.

16 Next we have a representative from the
17 South Coast Air Quality Management District.

18 Amir?

19 MR. DEJBAKSH: Good morning. Sorry. I
20 was un-muting. Good morning, Commissioners, CEC
21 Staff, and the panel members. My name is Amir
22 Dejbakhsh and I'm the Deputy Executive Officer in
23 charge of Permitting and Engineering at South
24 Coast AQMD. I would like to thank you for
25 inviting us to be part of this workshop.

1 Before going over some of the challenges
2 that we have in issuing and modifying permits, I
3 would like to start by giving you a short
4 background on who we are and our permitting
5 program.

6 Next slide please. Thank you.

7 We're one of the 35 Air Districts in
8 California. And our jurisdiction includes non-
9 desert portions of Los Angeles, Riverside, and
10 San Bernardino Counties, and all of the Orange
11 County in Southern California. Our jurisdiction
12 is home to more than 16 million people in an area
13 of, roughly, 11,000 square miles. We regulate
14 more than 27,000 facilities which includes 360
15 major sources. And we have the worst air quality
16 in U.S., next to San Joaquin to our north, when
17 it comes to ozone and particulate matter of 2.5
18 microns or less. We have 22 power plants in our
19 jurisdiction, both baseload and peaker plants,
20 with a combined output of more than 12,000
21 megawatts.

22 Next slide please.

23 We are co-air permitting authority with
24 CEC for power plants that can generate 50
25 megawatts or more. And we are the air permitting

1 authority for all power plants within our
2 jurisdiction.

3 Power plants, when they file their
4 applications to get a permit with us, fall under
5 our Title V and/or our RECLAIM Permitting
6 Program.

7 Title V Permitting Program is a federal
8 Operating Permit Program that USEPA has developed
9 as part of a Title V of the 1990 Clean Air Act
10 amendments. Facilities that are a major
11 stationary source of toxic and criteria
12 pollutants and are subject to Acid Rain Program,
13 or subject to certain New Source Performance
14 Standards, NSPS, or National Emissions Standards
15 for Hazardous Air Pollutants, NESHAPs, are
16 required to be under this program. The
17 centerpiece of a Title V program is a Title V
18 permits which consolidates and replaces all of
19 the air permits for an individual piece of
20 equipment at a facility and contains all federal,
21 state, and local air regulatory requirements
22 under one document. Title V permits allow for
23 federal and citizen enforcement, gives USEPA
24 review and veto authority, and enhances public
25 participation.

1 In South Coast AQMD, because of our ozone
2 extreme nonattainment status, we have a lower
3 threshold for major sources than other areas
4 which results in more facilities requiring a
5 Title V permit.

6 The second program that power plants can
7 fall under in our jurisdiction is our Regional
8 Clean Air Incentives Market, or RECLAIM, Program.
9 RECLAIM is our Emission Cap and Trade Program
10 that allows facilities to meet annual emission
11 targets for oxides of nitrogen, NOx, and sulfur
12 of -- oxides of sulfur, SOX, in lieu of complying
13 with our command and control requirements.

14 Out of the 32 power plants that I
15 mentioned earlier, 2 are solely in our RECLAIM
16 Program, 6 are only in the Title V Program, and
17 the remainder, 25 facilities, are in both Title V
18 and RECLAIM.

19 Next slide please.

20 After we receive an application and deem
21 it complete some of the important requirements
22 that the facility has to meet are satisfying
23 California Environmental Quality Act
24 requirements. A proposed project must meet our
25 new source review requirements which includes

1 installation of best available control
2 technology, or BACT, if there is an emission
3 increase. Show true air quality modeling
4 analysis that potential emissions from the
5 proposed project will not cause an exceedance of
6 Ambient Air Quality Standards and provide
7 emission offsets if necessary.

8 A proposed (indiscernible) project must
9 also meet our toxic NSR requirements for cancer
10 risk, cancer burden, and noncancerous hazard
11 indices. They also must meet the applicable
12 prevention of significant deterioration for
13 criteria emissions, PSD, New Source Performance
14 Standards, National Emissions Standards for
15 Hazardous Air Pollutants, and any other federal
16 regulations, such as Acid Rain Program.

17 We also require a 30-day public notice
18 under certain circumstances during which public
19 can provide comments on a proposed permit.

20 As I had mentioned earlier, any
21 permitting action to a Title V permit, with the
22 exception of administrative changes, requires
23 USEPA review. And USEPA has 45 days to review
24 and comment on any proposed Title V permit. And
25 of course, depending on the applicable regulatory

1 requirements, they have to ensure the proposed
2 permits have the appropriate monitoring, testing,
3 reporting, and recordkeeping requirements.

4 Next slide please. No. The one before
5 that please. Can you go back one slide? Thank
6 you.

7 So what are some of the permit challenges
8 that can delay issuance of a permit?

9 When we evaluate a new project or when we
10 modify a permit, we have to evaluate all
11 applicable requirements based on the most
12 stringent regulations, which are often very
13 complicated, not only to the facilities but also
14 to the public. For example, if a facility wants
15 to change an operating condition that results in
16 an emission increase the facility would be
17 subject to different new source review
18 applicability requirements for different
19 pollutants if they are under our RECLAIM Program.

20 The other challenges that can delay
21 issuance of a permit are review by other agencies
22 and public participation. As I explained
23 earlier, we have to submit our evaluation on our
24 proposed permits to USEPA for their 45-day review
25 period if the facility has a Title V permit. And

1 we may have to do a 30-day public notice if
2 necessary. Our regulations also require
3 notifications to any state that may be affected
4 by a proposed Title V permit. And we have to
5 notify our other state regulatory agencies when
6 applicable.

7 Typically, to streamline the process, if
8 a project requires both a public notice and USEPA
9 review, we start the public notice and we ask EPA
10 to start their 45-day review process at the same
11 time. However, if we receive and have to respond
12 to public comments the USEPA requires submittal
13 of comments and responses to them, which can
14 result in additional delays.

15 So what is our recommendations to
16 facilities? Basically, the same sentiments that
17 was already discussed. We ask facilities to file
18 their application as soon as possible and provide
19 us all the information that we need so there are
20 no requirements for back and forth with the
21 facilities. And we request -- and, also,
22 facilities can also request us to expedite the
23 permitting process by utilization of the
24 permitting -- expedited permitting program that
25 we have in place. And we, finally, are committed

1 to work with our power plant operators to ensure
2 that projects are prioritized and move quickly
3 with their permits, if there are no legal
4 constraints prohibiting us from granting permits.

5 Thank you. That concludes my
6 presentation.

7 MR. PITTARD: Great. Thank you very
8 much, Amir. And thanks to all the Air Quality
9 Districts for their participation today.

10 Next we'll go Eric Knight with the
11 California Energy Commission. He serves in the
12 Siting Division and is our Environmental Office
13 Manager.

14 Eric?

15 MR. KNIGHT: Thank you, Shawn. Can
16 everybody hear me?

17 MS. GALLARDO: Yes, we can.

18 MR. KNIGHT: Okay. Good. Thanks.

19 Good morning, Commissioners, fellow
20 panelists, and guests. My name is Eric Knight.
21 I'm the Manager of the Environmental Office and
22 the Siting, Transmission, and Environmental
23 Protection Division at the Commission. My
24 presentation is going to cover how the CEC would
25 process proposed incremental efficiency and

1 reliability improvements at CEC-licensed gas
2 plants.

3 Next slide. Oh, thank you. That slide.
4 I'm sorry. All right.

5 So per the Energy Commission's
6 regulations, which are found in Title 20,
7 California Code of Regulations, Section 1769, the
8 incremental efficiency improvements could be
9 considered a change in the project's design,
10 operation or performance requirements, which are
11 specified in the Commission decision which is the
12 certificate or license for the facility. If the
13 improvements result in a project change the
14 regulations require the project owner to submit a
15 post-certification petition to the CEC for
16 approval.

17 As you heard from Ross Gould at SMUD, the
18 advanced gas path that the Cosumnes Power Plant,
19 which was licensed by the CEC, required a
20 petition to amend.

21 Adding battery storage, like, I believe,
22 Alex Morris with CESA had mentioned a possible at
23 the Pio Pico Plant, which is another facility
24 licensed by the Commission, that would most
25 likely, also, require a petition.

1 So a petition should contain a complete
2 description of the change. It needs to discuss
3 the environmental effects of that change and any
4 needed mitigation. Often times the conditions of
5 certification already in the license will address
6 any environmental effects but that's not always
7 the case. And then the application needs to
8 discuss the project's continued compliance with
9 applicable Laws, Ordinances and Standards, which
10 we often refer to as LORS.

11 However, there are some upgrades that
12 maybe we would -- that would be more akin to
13 maintenance that is in-kind equipment
14 replacements, swapping out one piece of equipment
15 for the functional equivalent piece of new
16 equipment. For those, we would say, that's not a
17 change in the design operation of requirements.
18 And in those cases a petition wouldn't be
19 required. What Staff would do is review that,
20 issue an authorization letter which would be
21 limited to the scope of activities that were
22 described to us. There would be, obviously, a
23 requirement to adhere to all existing conditions
24 of certification. And there may be a need for a
25 delegate chief building official review of the

1 upgrades.

2 So we've developed an intake form, a
3 questionnaire, which can help plant owners figure
4 out which course is required. And as Dennis Jang
5 with Bay Area mentioned, we are also happy to
6 meet with project owners in advance, remotely
7 that is. And we can provide examples of high-
8 quality petitions that have been submitted by
9 other developers.

10 So if a petition is required, there are
11 two paths to approval, either at Staff level or
12 by the Commissioners at a business meeting or
13 other hearing.

14 So Staff can approve a petition where
15 there is no possibility the change to the
16 facility will cause a significant environmental
17 effect or where that change would otherwise be
18 exempt from CEQA. Staff could also approve a
19 change where the project would continue to comply
20 with applicable LORS and there's no need to
21 change any of the conditions of certification
22 that appear in the Commission license.

23 There's one notable exception to that
24 last bullet, that third bullet there. Staff can
25 approve changes to air quality conditions of

1 certification in the license that do not increase
2 daily, quarterly, annual or other emission
3 limits.

4 So if the criteria that I just mentioned
5 above can't be met, so like, for instance, there
6 are needed changes to conditions of certification
7 apart from what I just mentioned, the exception
8 there, to ensure no significant environmental
9 effects or LORS noncompliance, that would require
10 Commission approval. That goes before the
11 Commission at a noticed business meeting. If
12 there's an objection to a Staff determination,
13 you know, we believe that the change meets the
14 criteria but a public entity does not and they
15 submit an objection, they must do so within 14
16 days of Staff's filing and it must be supported
17 by facts.

18 So for the -- so what we refer to as the
19 non petitions, these are the things that may be
20 more like in-kind replacement maintenance, those
21 are typically authorized within one to two weeks.

22 I'm sorry. Next slide. I forgot to
23 mention that. Thank you.

24 So those, the non petitions, can be
25 authorized within one to two weeks of receipt to

1 the questionnaire. There may be some back and
2 forth with the developer -- or the project owner,
3 excuse me, to understand exactly the nature of
4 the change.

5 Petitions, they can vary widely, as
6 little as 30 days, upwards of 90 days. There
7 have been some that have gone extensively beyond
8 that but those have been for like almost
9 wholesale changes to facilities that have been
10 previously licensed. There's comment periods
11 attached to each one of those petitions, you
12 know, either Staff approved or Commission
13 approved.

14 And I'd just like to say the SMUD
15 Cosumnes AGP, that petition was filed on August
16 29th of 2018. Staff's analysis was filed on
17 November 8th, 2018. That's, what, 71 days? And
18 it was approved by the Commission on December
19 10th, 2018, so that did require changes to
20 conditions of certification, so it went to the
21 Commission for approval. And a total amount of
22 time was 103 days.

23 MR. PITTARD: All right. Thank you.
24 Thank you, Eric.

25 MR. KNIGHT: You're welcome.

1 MR. PITTARD: Much appreciated.

2 All right, our next panelist is Dawn
3 Weisz from Marin Clean Energy.

4 MS. WEISZ: Great. Hi everyone. It's
5 really a pleasure to be here. And I think I need
6 someone on your side to turn on the video. There
7 we go. There we go. All righty.

8 Thank you so much, Commissioners, for
9 having this important workshop. First of all,
10 we're really, really excited to be part of it.
11 We've been thinking a lot about all of these
12 issues. And I'm going to be coming at this from
13 just a slightly different perspective than some
14 of the other presenters as we're a load-serving
15 entity and a buyer, so we're buying reliability
16 products, resource adequacy. And I'll be
17 speaking to kind of the challenges through that
18 lens.

19 So we can go to the next slide.

20 And I'll just start off by saying that
21 our board and our communities are really aligned
22 with the SB 100 goals and getting us to a clean
23 energy future as soon as possible.

24 I realize that this slide is very similar
25 to one that Alex Morris presented earlier today,

1 so I won't spend a lot of time on it, but we are
2 excited about the idea of battery storage
3 hybridized with the gas fleet. And we are
4 interested in it, you know, not just because it
5 leads to a cleaner energy future but, you know,
6 also as a retail supplier. One of our big
7 priorities is protecting vulnerable communities.
8 And so we're really excited about the opportunity
9 that this technology presents for reducing air
10 pollution, as well as carbon emissions.

11 So you can go to the next slide.

12 And I'll just make a comment here that I
13 think that, you know, as we talked about
14 technology advancements in the last panel, one of
15 the challenges that I just wanted to highlight in
16 this panel is that, you know, as we're expecting
17 our gas fleet to do more ramping, you know, that
18 can often cause more emissions in our vulnerable
19 communities. And so, you know, that, combined
20 with the local grid constraints that we see in
21 places where large amounts of generation is
22 needed, it kind of makes -- you know, it can make
23 it hard to site new resources right where we need
24 it. And, obviously, the, you know, the multiple
25 cloudy day scenario or the extreme weather event

1 scenario is problematic, as well, for relying
2 only on renewables.

3 So going on to the next slide, the, you
4 know, addition of storage to existing gas plants
5 is one solution that we have invested in. And
6 so, you know, I wanted to point out that as --
7 you know, a role that we as a community choice
8 aggregator can play is helping to invest in new
9 technologies that increase or enhance
10 reliability, you know, keep costs as reasonable
11 as possible, and also help us move towards the
12 state's decarbonization goals.

13 We entered into a long-term contract with
14 a supplier for a ten-year resource adequacy
15 product that is a hybrid gas-battery facility.
16 And we are aware that, you know, adding these
17 types of enhancements to a facility can be
18 expensive. And so we -- because we believe in
19 helping to make this transition happen the long-
20 term contract really is what made the difference
21 in allowing the counterparty to make the
22 investments that were needed up front to
23 transition the facility to cleaner operations.

24 You know, right away, from day one, you
25 know, once the battery is fully operational,

1 we're going to see immediate air pollution
2 reductions from nearby communities. And we'll
3 start to see greenhouse gas reductions because
4 there will be fewer starts. You know, when CAISO
5 needs the supply from this facility the first
6 place they'll be tapping is the battery. And in
7 some cases the unit won't even need to ramp on
8 and that will increase [sic] emissions by an
9 estimated 60 percent from day one, so we're
10 excited about that.

11 Let's move on to the next slide.

12 And I just wanted to, you know, add one
13 other point to kind of address the end goal that
14 I know we all share in phasing out carbon
15 emissions in the long run. We're starting to
16 look at ways now that we can begin investments in
17 carbon-free resource adequacy. And you know, one
18 way that we did this is we issued an RFP in
19 February of this year for greenhouse gas-free RA.
20 We got a number of proposals and some of them
21 were, you know, tied to a transition where you've
22 got, you know, a few years with the gas plant
23 operating normally, but then it transitions to
24 cleaner fuel sources and other technology
25 improvements.

1 One technology that we've been really
2 interested in, and we have a couple of potential
3 pilot projects ready to get off the ground,
4 include renewable hydrogen where hydrogen is
5 being produced using electrolysis with renewable
6 energy. And that can be stored for long periods
7 of time and used in a fuel cell. So that could
8 be a technology that helps us with the
9 transition.

10 Also, you know, combining -- using
11 hydrogen with our existing natural gas
12 infrastructure, our pipes and facilities, is a
13 really interesting opportunity. In our service
14 area, which includes Contra Costa County along
15 the northern waterfront, there are quite a few
16 natural gas cogeneration facilities, many of
17 which are currently not operating or just not
18 operating fully. So we see some opportunities
19 there to help make some investments and help
20 transition those to cleaner fuel sources, whether
21 it be hydrogen or biogas or other alternatives.

22 So that's how we're looking at the
23 problem. And we're really excited to work with
24 all of you to find some solutions.

25 MR. PITTARD: Great. Thank you, Dawn.

1 We appreciate you being here today.

2 Our final panelist for Panel 2 is Debi Le
3 Vine from the California Independent System
4 Operator.

5 Debi?

6 MS. LE VINE: Thanks so much, Shawn.

7 Good morning everyone. Let me see. Is
8 my video working? Oh, there's -- okay.

9 MR. PITTARD: Yup, it is. We see you.

10 MS. LE VINE: Okay. Great. It's
11 interesting, on my side, I don't see me. All I
12 see is Shawn.

13 So good morning everyone. Thank you to
14 the Commission and Staff for having this
15 workshop.

16 Similar to Dawn, I'd like to go ahead and
17 take the discussion to a different area and go
18 over the events of this summer and the actions
19 that the CAISO believes that we need to take and
20 what we've already proposed.

21 Next slide please.

22 So as most of you know, August of 2020,
23 we had the heat storm. There were power outages
24 on August 14th and the 15th, predominantly due to
25 the increased temperatures which were up to 20

1 degrees above normal. And in August we hit four
2 out of five of the hottest days since 1985. The
3 demands were high throughout the 24-hour period
4 versus normally, in a heat event, you'll see that
5 the demands decrease at night which allows the
6 system to go ahead and catch up on the supply.
7 But in this instance we didn't get that
8 opportunity.

9 As a number of the panelists have already
10 discussed, thermal generation operates less
11 efficient in the heat. And because the event was
12 west-wide, California has actually been a net
13 importer since the 1960s, and because of the
14 west-wide event the ability to import decreased
15 during this storm.

16 We also had numerous fires, as other
17 panelists have talked about, and the solar panels
18 were not able to produce the energy required.
19 And a number of the transmission lines which
20 distribute the generation were impacted.

21 Next slide please.

22 So specifically, what ended up happening
23 on August the 14th is at 1638 p.m. our reserves
24 fell below the six percent NERC standard. And,
25 in essence, that resulted in rotating outages for

1 492,000 customers. And the impact was between 15
2 minutes and 150 minutes, depending upon where you
3 were on the grid.

4 And one of the interesting things is,
5 having been in this industry for way too many
6 years that I won't admit, the peak demand used to
7 be around 1600, or 4 o'clock in the afternoon.
8 What we're seeing is, is with the renewables, the
9 net peak demand is much closer to the seven --
10 hour ending 7:00, which is between 6 and 7
11 o'clock at night. And because of that, we need
12 different types of resources than we used to
13 need, you know, five, ten years ago in order to
14 meet that peak demand.

15 On August 15th the reserves fell below
16 six percent at 6:28, just a little bit before the
17 evening of the 14th, and those outages, luckily,
18 only impacted for a period from 8 to 90 minutes,
19 so we were able to bring that down.

20 Next slide please.

21 So the opportunities that we see is the
22 CAISO put in place a number of emergency measures
23 during the heat storm to allow operation of
24 generating units above their pmax. It was all
25 done manually by word of mouth, a lot of

1 communication. Thank you so much to the
2 investor-owned utilities planning departments
3 because for each one of the units that we allowed
4 to go over their pmax, we needed to determine if
5 the transmission system could support the
6 additional generation because they'd never been
7 studied at that level. So to allow each one of
8 the units to go above their pmax, each one of
9 those generators was studied by both the CAISO
10 and the existing PTO that they're interconnected
11 to. And then we'd have to go ahead and let the
12 generator know that they've been approved.

13 In a number of instances the generators
14 would have to take limiting schemes off of their
15 generation. Some instances that was easy to do.
16 Some instances they required a 24-hour notice in
17 order to take off their limiting schemes. And
18 all of this was done out of market, so there were
19 huge challenges.

20 So some of the processes we need to put
21 in place for this coming summer is to figure out
22 which resources can operate above their pmax at
23 critical hours? And as we've said, the max has
24 actually switched and it's no longer four o'clock
25 in the afternoon, it's closer to 7:00 p.m., 8:00

1 p.m. at night.

2 So the lessons that we've learned at this
3 point is we need to be proactive in establishing,
4 at least, the operation of a pmax.

5 As far as impact of proposed
6 improvements, I really liked a lot of the
7 discussion on both the Panel 1 this morning and
8 some of the early speakers on Panel 2. We need
9 to find additional ways to get more flexibility,
10 whether it's adding batteries to gas units or
11 improving the flexibility during the peak hours.
12 That's what's going to help us get over the next
13 couple of summers.

14 And we're also happy to help any of the
15 units that are having trouble. Southern
16 California noted in their presentation that there
17 were spinning reserve clawbacks because of the
18 way that the telemetry was set up on the battery
19 versus the gas unit. We have gone ahead and
20 worked through a number of those issues thanks to
21 Edison being the first on the planet in
22 California to go and deal with the combination of
23 gas and storage. But we can help you through
24 those types of dispatches and what information
25 you need, et cetera.

1 We also want to improve the contingency
2 planning with the CEC, CPUC and the Governor's
3 Office, and continue to pursue market
4 enhancements.

5 I'd also like to note that the CAISO did
6 file comments in the OIR proposing, specifically
7 for the summer of 2021, two items. One is to
8 change the planning reserve margin for June
9 through October from 15 percent to 20 percent.
10 And also to go ahead and change, as we've
11 discussed, the capability requirements to be for
12 the hours ending 4:00 p.m. to 9:00 p.m. This
13 goes ahead and allows us to secure imports, get
14 more secured imports backed by firm transmission,
15 access additional capability in the gas fleet,
16 secure resources that are proposing to retire,
17 and ensure storage resources are installed,
18 charged, and ready to perform in critical hours.

19 And with that, I'll turn it back to
20 Shawn. And I am interested in the questions that
21 the audience has for us.

22 Thank you.

23 MR. PITTARD: Great. Thank you, Deb.

24 And thank you to all the panelists, both
25 the Panel 2 and Panel 1.

1 I'll turn to the Commissioners now and
2 ask if you have questions for any of the
3 panelists that we've heard from, whether Panel 1
4 or Panel 2.

5 COMMISSIONER DOUGLAS: Hi Shawn. Hi
6 Commissioner Scott. So I have a few questions.
7 And oh, Commissioner McAllister, I didn't see
8 you. I have a few questions. Maybe, yeah,
9 several.

10 Now I understand the speaker from CESA
11 had to leave; is that right? I was going to ask
12 him something but we can follow up later.

13 I'll just ask a general question about
14 the hybrid technology. I wasn't super clear from
15 the presentations what the lead time is from
16 conceptualizing, you know, a shift to a hybrid
17 technology to putting it into effect. My
18 assumption is that that's not a summer of 2021
19 activity unless it's already somewhere through
20 the process or -- you know? But I'm not sure
21 about that, so that's one question.

22 MR. PITTARD: Who can help us?

23 MR. SMUTNY-JONES: I'll give it a shot.

24 MR. PITTARD: Thank you, Jan.

25 MR. SMUTNY-JONES: Yeah. Jan Smutny-

1 Jones.

2 Commissioner, I think you're correct, and
3 it has a large amount to do with whether or not,
4 you know, batteries have been procured and the
5 system has been planned accordingly.

6 I'll point out that there are a number of
7 battery storage units coming on, some of them
8 associated with something that repowers with
9 natural gas fleet. For example, AES has
10 something going on in Alameda. So there is some
11 of this that's working its way into the system.
12 Wellhead, again, one of our members was
13 instrumental in working with Edison on some of
14 this early.

15 So you know, I just want to underscore
16 what some of the other speakers said on this. We
17 view this as a significant opportunity as well.

18 COMMISSIONER DOUGLAS: Yeah, it certainly
19 sounds like one.

20 And a just a quick follow up. I don't
21 know, you know, for the hybridization strategy,
22 is anybody that you're aware of looking at non-
23 battery storage or is everyone pretty much, at
24 this point, looking at battery storage with the
25 power plants?

1 MR. SMUTNY-JONES: I wouldn't be
2 surprised if somebody is looking at something
3 other than batteries but I'm unaware of any
4 specific project being both right now.

5 MS. LE VINE: So this is Deb --

6 MR. GOULD: This is Ross. I -- oh,
7 sorry.

8 MS. LE VINE: This is Deb Le Vine with
9 the ISO.

10 At the moment, actually, most people are
11 looking at batteries. But as far as ease of
12 putting them on the system, it's actually fairly
13 easy. What we've allowed batteries to do is to
14 go ahead and be added as a modification to an
15 existing project instead of having to go through
16 the entire study process.

17 COMMISSIONER DOUGLAS: Great. Okay.

18 MS. LE VINE: So that can be done in a
19 90-day period.

20 COMMISSIONER DOUGLAS: And Ross?

21 MR. GOULD: And this is Ross.

22 We actually have looked at thermal energy
23 storage for a system where we have an evaporative
24 cooler on the front end of a gas turbine where
25 we, basically, pre-cool the water that goes into

1 the evaporative cooler to make it more efficient
2 during the daytime. And it's a long-range
3 project. It wouldn't be something you could pull
4 together in six months but we are looking at it.

5 COMMISSIONER DOUGLAS: Oh, that's
6 interesting. Well, I'd love to learn more about
7 that sometime at some point.

8 I've just got a few more questions I'll
9 tick through and then let others ask.

10 So there was some discussion of hydrogen.
11 And just out of curiosity, maybe if Siemens is
12 still on, or GE, I guess GE, you know, what's the
13 maximum hydrogen blends that these engines, these
14 power plants, can operate with?

15 MR. MINNIX: Yeah. This is Josh Minnix.
16 I can speak to that.

17 For GE's aeroderivative turbine fleet it
18 will depend on the product technology but,
19 generically speaking, 35 percent is capable in
20 the short range by volume of hydrogen. We've got
21 a longer-term trajectory to bring those numbers
22 up higher. On some of the other platforms, you
23 know, on 2500, for example, we see a path to
24 getting to 80 percent of total fuel; 20 percent
25 of that would be non-combustible, so effectively

1 100 percent of the combustible fuel would be
2 hydrogen.

3 It does require some modifications.
4 There are some mechanical changes that need to be
5 made to the turbine. But the combustion system
6 itself tends not to be the limiting factor. It's
7 more the availability of hydrogen and then
8 getting the required blending skids and other
9 supporting accessories installed.

10 COMMISSIONER DOUGLAS: Okay.

11 VICE CHAIR SCOTT: Commissioner Douglas,
12 can I jump in right quick on that?

13 COMMISSIONER DOUGLAS: Yes. Please do.

14 VICE CHAIR SCOTT: I had a follow-up to
15 that specific point (indiscernible) that there
16 was a pathway to the 80 percent of more hydrogen.
17 Is that something that you're seeing in the next
18 year or two or is that something that's a 5-year,
19 10-year, 15-year kind of pathway?

20 MR. MINNIX: I think it would project
21 specific. I would say that's more of the
22 intermediate three- to five-year type of timeline
23 for the higher percentages. The 35 percent would
24 be achievable in a much shorter time period.

25 VICE CHAIR SCOTT: Got it. Okay.

1 MR. SALVATORE: This is Mike Salvatore
2 from Siemens.

3 I'm going to go with what Joshua just
4 said. That's the timetable we're looking at and
5 moving towards that, so it seems to be an
6 industry standard, if you will. And --

7 COMMISSIONER MCALLISTER: Can I jump in
8 on that, actually, and just --

9 MR. SALVATORE: -- that's all.

10 COMMISSIONER MCALLISTER: Oh, sorry.
11 Sorry to talk over you. I thought you were done.

12 I want to just ask about the hydrogen
13 supply problem. Do you feel like the marketplace
14 and/or policy is engaging with that sufficiently
15 to kind of mobilize that overall hydrogen
16 production conversation? I know this is not a
17 2021 summer discussion but the longer term sort
18 of directionality of this is, I think, very
19 important as well. Do you have ideas about
20 whether we're taking appropriate steps to move
21 that conversation about the hydrogen supply
22 overall? Looks like not. Okay.

23 MR. PITTARD: No takers.

24 COMMISSIONER MCALLISTER: Okay. Great.
25 It sounds like we have work to do to ensure some

1 hydrogen supply, so yeah.

2 COMMISSIONER DOUGLAS: I just had a
3 couple more questions and then I'll -- I'm sure
4 I'll probably hang off the other Commissioners'
5 questions, as well, or I may.

6 You know, for the non battery, the non-
7 hybrid solution, you know, I'm thinking through
8 just time frames for Summer 2021 because, of
9 course, we're interested in Summer 2021 for
10 obvious reasons, and we're interested longer term
11 for the obvious reasons. But for those
12 subcategory projects that really could get going
13 on that time frame, you know, I heard Calpine
14 very clearly say, you know, they've assessed
15 their facilities, they've identified which ones
16 could potentially move forward on that time
17 frame.

18 You know, I guess my question is, you
19 know, what's the process for going through that
20 kind of assessment? Is it something that's done
21 that can be done quickly? Is it something that,
22 you know, you need to be thinking about for
23 months or years?

24 You know, I definitely heard from the
25 first panel, it's better to fit this into, for

1 example, major maintenance so that you save
2 costs, for example. And so there are obviously
3 going to be some opportunities that come up that
4 could be met on this time frame and others that
5 just really don't make sense. And then we've got
6 lead times to order and deliver equipment, and
7 permitting, and the, you know, ongoing pandemic
8 and challenges that that's put in place. So, you
9 know, any insight on that would be helpful.

10 MS. MCBRIDE: And I can quickly answer
11 that. This is Barbara McBride with Calpine.

12 I mean, the assessment probably took us a
13 couple -- two to three -- or, you know, a month
14 or two to go through. And, basically, what we
15 did is took all our plants, looked at the
16 technologies that were available and then, you
17 know, obviously had to look at LGIA constraints
18 and, you know, outages, when were the outages
19 planned and, you know, and basically, you know,
20 permitting a pathway, which, you know, you
21 guys -- or the CEC and Air Districts have been
22 very helpful with that, and then kind of went
23 down and looked at it and said, look, you know,
24 these work here, you know, these upgrades work
25 here, these upgrades work over here.

1 And then we also had to have the
2 discussion with, obviously, with the vendors, the
3 OEMs, to see if the parts were available,
4 especially for the combustion turbine upgrades.

5 And that's really the big deal now is
6 we're ready. I mean, we're -- you know, as far
7 as everything else, it's ready to go, except for,
8 you know, we've got to make those procurement
9 commitments but we can't do that without,
10 obviously, you know, having some sort of pathway
11 to get reimbursed for those upgrades.

12 COMMISSIONER DOUGLAS: Okay. So you've
13 done that to the point of -- I'm sorry, just one
14 quick follow-up. You've done that to the point
15 of also ensuring that parts available? Like you
16 feel like this is vetted?

17 MS. MCBRIDE: They're available. We just
18 have to, you know, seal that deal; right? And we
19 can't do that --

20 COMMISSIONER DOUGLAS: Yes. Sure.

21 MS. MCBRIDE: -- until we actually get
22 the procurement piece.

23 COMMISSIONER DOUGLAS: Yeah. Got it.

24 MS. LE VINE: Yeah. The procurement
25 piece is very important.

1 And the other area, I would say, that is
2 untapped is we have a number of resources that
3 have sent letters to the CEC, CPUC, and the ISO
4 saying that they're going to retire because they
5 have not been procured going forward for 2021-
6 2022. And so there is a very easy, you know,
7 amount of megawatts that are sitting out that, if
8 they're procured, already exist, are already up
9 and running. Their contract expires December
10 31st of this year, so they want to retire.

11 So the procurement piece and accessing
12 the units that are looking at retirement I think
13 is very critical and something that we can do
14 easily to bring megawatts on for next year.
15 Otherwise, we're going to lose them.

16 MR. SMUTNY-JONES: Just -- that's a very
17 good point, Debi. And just as a follow-up on
18 that, and Barbara's presentation, Commissioner,
19 preparing of this, I have been calling around for
20 my other gas members. People have internally
21 done similar kinds of analysis that Barbara spoke
22 of in Calpine.

23 So I think there are -- I think
24 everybody's putting this into a range of
25 possibilities with respect to what could actually

1 be done by 2021 or what could be done beyond, if
2 need be. I think the key here is the procurement
3 mechanism, people need to know that there's
4 actually going to be an opportunity to, you know,
5 build this into the market and have cost recovery
6 of some kind.

7 And I recognize from a regulatory
8 perspective the frustration here is that, you
9 know, we're very short of time. You know, we're
10 already at December 2nd. And I think as Barbara
11 indicated, they have to -- they, Calpine has to
12 make commitments to vendors with respect to
13 equipment. Other generators are in a similar
14 situation.

15 So the key there -- and I understand that
16 there will be a panel later this afternoon to
17 talk about some of these issues -- is how quickly
18 we could get, yeah, we want you and, you know,
19 here's the path forward with respect to 2021 and,
20 you know, beyond if need be.

21 COMMISSIONER DOUGLAS: Um-hmm. I think
22 those are my questions for now. I agree with
23 you, the timing for Summer 2021 is the challenge.
24 We heard from Air Districts that, you know,
25 they'd like folks in the door yesterday for some

1 of these. And you know, there's also the
2 equipment side. And there's just figuring out
3 how this fits in with maintenance or other
4 activities, so that makes sense.

5 Anyway, those are my questions for now.

6 MR. PITTARD: Great. Great. Thank you,
7 Commissioner.

8 Other Commissioners, questions for the
9 panelists? We're going to try to, at 11:35, take
10 public comment. So other questions? We've got
11 seven minutes.

12 VICE CHAIR SCOTT: I'll jump in. I
13 had -- this question is actually not on the
14 urgent timeline that we're talking about for
15 2021, which is staggeringly close right now, but
16 it's thinking through.

17 The Energy Commission on the EPIC Program
18 is getting ready to put together a bridge
19 investment plan for the dollars. And I'm
20 wondering if on some of these technologies where
21 we're talking about a three- to five-year
22 timeline, are there any research questions that
23 the Energy Commission ought to be thinking about
24 trying to help answer, either through our EPIC
25 program -- right? --and so that has to be

1 associated with electricity, or through the Pure
2 Natural Gas Program which could have, you know,
3 hydrogen or some of these other conversations
4 that we're having associated with it that we
5 ought to be considering solicitations for now,
6 obviously not for next summer, but research that
7 helps us three years out, five years out, but we
8 need to ask those questions now?

9 And that's a pretty broad question to
10 throw out there, so maybe, I'm not expecting an
11 answer, but just something I'm thinking about.
12 And if it sparks an idea with any of you, to be
13 sure to engage with us as we are doing that
14 planning on the research.

15 MS. WEISZ: Yes.

16 VICE CHAIR SCOTT: Oh, I see Dawn may
17 have an answer.

18 MS. WEISZ: Yeah. Well, I would just
19 make a comment that I think we learned a lot when
20 we did our clean RA RFO in February. You know, a
21 lot of our responses indicated that there are
22 suppliers out there. And I think, you know, it's
23 good to kind of keep in mind that the CCAs and
24 the IOUs are a part of the solution in that we
25 can buy the energy that the CEC decides is needed

1 by the state. You know, we all want to do that.
2 We all want to do our piece.

3 The responses that we got back on the
4 RFO, many of them show, you know, there was a gap
5 between where we are economically and, you know,
6 what these new technologies need as far as an
7 upfront investment.

8 So I think that you're right to be
9 thinking about the EPIC Program as a potential
10 way to bridge that gap. Because if there are --
11 you know, just like any new technology, if
12 there's a way to make it affordable at the
13 beginning until it kind of hits mass adoption,
14 that can help with some of these things.

15 And you know, getting back Commissioner
16 McAllister's question about, you know, what is
17 the barrier to renewable hydrogen being, you
18 know, adopted more full-scale, you know, from my
19 perspective, it's cost. And so we're looking at
20 doing baby steps, you know, some pilot projects,
21 because they're going to be really expensive just
22 to get the technology started and we can afford
23 that if it's small. But with support from other
24 entities, maybe through EPIC, bigger pilots could
25 be done and bigger projects could be done to get

1 this technology to become more widely adopted.

2 COMMISSIONER DOUGLAS: So, Dawn, just
3 because we have an extra two or three minutes,
4 can you just tell us a little bit about the pilot
5 projects that you're doing right now?

6 MS. WEISZ: Yeah. So we have two sites
7 that are both in Contra Costa County that would
8 be -- we would be locating an electrolyzer next
9 to a wind or a solar facility. We actually are
10 looking at a pilot of one of each, wind and
11 solar. The electrolyzer would be right there on
12 site generating hydrogen renewably. The hydrogen
13 would stay on site. And there would be a fuel
14 cell on site as well. When we need that energy,
15 we would put it into the grid.

16 So that's the pilot. And we're looking
17 at something that, you know, that's not tiny.
18 We'd be looking at something between 10 and 15
19 megawatts ideally. And we're hoping to have
20 something operational within the next couple of
21 years. But we're still in the early stages of
22 getting all the pieces put together but it's very
23 promising. And there are, you know, companies
24 out there, and you've heard from some of them
25 today, who have a lot of experience in this area.

1 So the pieces are there. We just need to put
2 them together.

3 COMMISSIONER DOUGLAS: Super. Thanks.

4 MR. PITTARD: All right. Other
5 questions? We have two minutes worth of
6 questions. Otherwise, we can -- we'll move to
7 public comment.

8 I want to, again, thank the panelists for
9 your participation. We learned a lot today.
10 Much appreciated.

11 I'll hand this over to you, Noemi, for
12 public comment.

13 MS. GALLARDO: Hello there. This is
14 Noemi Gallardo, the Public Advisor.

15 Due to time constraints, today's speakers
16 will not respond to questions asked during the
17 public comment period. However, the comments and
18 questions will be included as part of the record.

19 Commenters have up to three minutes to
20 speak. We've got a clock here to help you look
21 at what time you have left. And organizations
22 are limited to having one representative speak on
23 their behalf.

24 If you would like to make a comment in
25 Zoom you're going to click on the raise-hand

1 icon. And then we will call on you so that you
2 can -- open up your line so you can speak.

3 And for those on the phone you'll press
4 star nine to raise your hand. And after we open
5 your line we'll let you know and you can press
6 star six to un-mute.

7 And when you are called upon, please make
8 sure to spell your name, first and last, and
9 state your affiliation, if any, for the record,
10 then begin your comment.

11 And we do have a few folks already lined
12 up here, so I'll call on you one by one.

13 First up is Grant McDaniel. He's been
14 waiting patiently for a while now.

15 So, Grant, your line is open. You may
16 speak.

17 MR. MCDANIEL: Yes. Thank you very much.
18 I'm with Wellhead Power Solutions. And we've co-
19 developed the hybrid technology with General
20 Electric. We were involved with the installation
21 of the Edison units. And we have just finished
22 the 98 megawatts Stanton Hybrid Facility in
23 Orange County. We're working with MCE to put in
24 the additional hybrid here in 2021.

25 I want to address something that came up

1 with -- both in Josh's presentation, Matt brought
2 this up, and I think Dawn brought this up, and
3 it's really about the duration of the size of the
4 battery. We understand that, initially, we were,
5 in fact, optimizing on the smallest battery that
6 we could use in order to get the, you know, the
7 benefits that would make it economic. That's
8 changed. And you know, as we move into this
9 battery that we're going to be using on the
10 facility upgrade that we're doing for MCE, it's
11 going to be a much bigger battery size.

12 And it is going to allow us to have about
13 a seven percent increase in power output but,
14 also, address some of the concerns that Matt
15 raised about, you know, getting dispatches where
16 I might be at five megawatts or seven megawatts
17 for 20 or 30 minutes. That will be accounted
18 for. So the flexibility will also increase and
19 so we believe that this will really help towards
20 a further GHG reduction.

21 The other thing I wanted to bring up was
22 that when we talked about hybrid the only thing
23 that we really talked about was in a single-stage
24 gas generator or generator configuration. There
25 are other configurations available. We could do

1 a multi-stage, meaning we can do a CCGT, in which
2 case the primary thing that we're doing is
3 increasing the ramp rate by two to three times by
4 adding the battery. And what you're doing is
5 just simply eliminating the steam turbine lag.
6 And so you have that at its normal benefit to its
7 day-to-day to help with the volatility with the
8 grid. But then when the power is needed to be
9 put out on top of the maximum, current maximum,
10 it's available to actually increase power input.

11 And then the third one is really the non-
12 generator. And again, with the battery we're
13 looking at with MCE, through the hybridization
14 project we're looking at with MCE, this is one
15 where as we look to some very much-needed rule
16 changes around hybridization that will take place
17 next fall, we will move from a generator
18 configuration to a non-generator configuration.

19 And this is extremely important because
20 with the non-generator configuration it will
21 allow the grid to use the hybrid as a battery and
22 it will charge and discharge the battery. And it
23 will only get to the gas when it is exhausted
24 that battery. And that really gives us a much
25 greater flexibility and a much more enhanced

1 product to the grid.

2 MS. GALLARDO: Thank you, Grant. This is
3 Noemi Gallardo, the Public Advisor. Your time is
4 up, so you wrapped up perfectly.

5 So next we have Michael Alcantar. I am
6 opening your line now. And just a reminder to
7 please spell you first and last names to make
8 sure we get those correct on the record, and in
9 case I butcher them.

10 All right, Michael, your line is open.

11 MR. ALCANTAR: Thank you. My name is
12 Michael Alcantar, A-L-C-A-N-T-A-R. I represent
13 the Western States Petroleum Association and a
14 number of gas-fired, primarily, cogeneration
15 facilities up and down the state but I wanted to
16 make sure. And I may be preaching to the choir
17 to several of the Commissioners' questions but
18 there is a large disparity between what you need
19 to do immediately to address issues and, more
20 philosophically, what would be possible in the
21 three- to five-year range is much different of
22 what needs to be done immediately.

23 And this is really a credit to Debi Le
24 Vine's, I think, most insightful comments about
25 trying to bring us to reality about the

1 reliability problems that the ISO has already
2 experienced and has no reason to expect that
3 those won't be meaningfully repeated going
4 forward in way that we all want to avoid and
5 address. It demonstrates that our current
6 planning, as much as we had hoped it would be
7 something different, is certainly presenting a
8 shortfall.

9 And so what I want to stress is the same
10 point she stressed. There's an issue here of
11 avoiding current losses by avoiding subtractions.
12 It's addition by subtraction. And you have a
13 number of projects, certainly three that I'm well
14 aware of, who have additional dispatch for
15 capacity available. They are CHP units that can
16 provide and have provided reliability services
17 during emergency conditions but they have no
18 contracts going forward. And what that's telling
19 those business enterprises is they have no
20 future, and so notices start going out about
21 terminating their resources.

22 Those resources are on the precipice of
23 being gone. It makes no sense to fail to embrace
24 those resources which are efficient, cost
25 effective, from an emissions standpoint, some of

1 the best type of units you can have to address
2 GHG issues, as well as reliability issues.

3 So I implore you to look at EPIC or
4 whatever other programs you may have. I think
5 there's some explanation from the CEC to explain
6 their assessment of leaving CHP resources off
7 their list of assumed solutions because of
8 thermal obligations of host because that really
9 doesn't compute to the reality and available of
10 resources, capacity resources, reliability
11 resources, from those projects.

12 Thank you for your time.

13 MS. GALLARDO: Thank you, Michael.

14 Next up we have Tim Buttke. And a
15 reminder to, please, spell your name.

16 Tim, your line is open.

17 MR. BUTTKE: Okay. My name is Tim
18 Buttke, B-U-T-T-K-E. I'm with Southport
19 Equipment. And we represent SSS Clutch Company
20 and they provide clutches for rotating equipment,
21 including power plants.

22 I know the focus of today's discussion
23 has been about improving generation capacity and
24 reliability. But these same assets can also
25 improve another important part of the equation

1 which is grid transmission reliability.

2 Obviously, when plants are running,
3 they're generating megawatts. And when they're
4 not running, which most peaker plants and other
5 plants don't most of the time, they're really
6 providing no benefit. But the generator can be
7 disconnected from the turbine using the SSS
8 clutch and then leave the generator providing
9 grid stability with vars, spinning reserve, grid
10 inertia, et cetera. And as we head to more
11 renewables, these mega-vars are not being
12 provided.

13 So synchronous condensing will become
14 more important to the grid stability as we head
15 towards 100 percent clean energy. And LADWP is
16 already doing this at four of their plants in
17 Southern California, successfully helping them to
18 improve their reliability.

19 Other ISOs around the country have also
20 provided compensation for synchronous condensing.
21 And it is an asset that's available that I feel
22 is being underutilized in California. So we're
23 urging the agencies to come up with a market
24 mechanism that synchronous condensing retrofits
25 can be compensated and help improve stability for

1 California.

2 Thanks.

3 MS. GALLARDO: Thank you, Tim.

4 So next up we have Evelyn Loya. Again,
5 reminder to please spell your name.

6 Evelyn, your line is open. Evelyn, your
7 line is open. Please un-mute.

8 MS. LOYA: Can you hear me?

9 MS. GALLARDO: Thank you.

10 MS. LOYA: Okay.

11 MS. GALLARDO: Yes.

12 MS. LOYA: Hello. My name is E-V-E-L-Y-
13 N, last name, L-O-Y-A. And I'm with SoCalGas
14 Company. Okay. And Good morning.

15 MS. GALLARDO: Evelyn, we're -- Evelyn,
16 sorry to interrupt you. We're having a little
17 bit of an issue hearing you clearly. Make sure
18 you're not on speaker phone.

19 MS. LOYA: I'm not. Can you hear me
20 better now?

21 MS. GALLARDO: Okay. A little bit. Go
22 ahead.

23 MS. LOYA: Okay. Good morning, Chair,
24 President, CEC and CPUC Commissioners and Staff.
25 Thank you very much for allowing me to make

1 comments on this very important topic.

2 As I reflected on the opening remarks by
3 Commissioner Douglas, wide investments in natural
4 gas power plants make to improve power
5 efficiencies (indiscernible). While this may
6 make sense if we look at the power plants as
7 isolated from the rest of the energy system
8 landscape, this might not (indiscernible) even
9 though the industries have the technologies to do
10 so, as we've heard today. The natural gas
11 capacity fleet reduction chart showed earlier
12 does not (indiscernible) once-through
13 (indiscernible) but also (indiscernible)
14 unplanned retirement that are due to less usage.
15 Many of these plants are less flexible plants but
16 some are (indiscernible) combined cycle plants.
17 The flexible (indiscernible) power plants are the
18 backbone to system reliability.

19 Early on the CEC and CPUC noticed this
20 inherent issue and held several workshops through
21 the IEPR. About five years ago the CPUC was
22 (indiscernible) capacity payments at the time but
23 chose not to take this path. For those that are
24 not familiar with capacity payments, these
25 essentially are incentives for plants that are

1 underutilized and may not be able to afford to
2 stay on additional payments to allow them to be
3 ready for those few hours a year when demand is
4 high and supply, mainly imports, are low. It is
5 a low-cost and low-emission opportunity.

6 But I can come back to some scenarios in
7 the Joint Agency Workgroup SB 100 which have non-
8 combustion alternatives replaced by generic zero-
9 emission (indiscernible) at \$60.00 per megawatt
10 hour. If it is the goal of the state to
11 completely eradicate the gas system and gas power
12 plants, and when energy agencies are stating they
13 want to get rid of the plant in the next decade
14 or so, why would any power plant put more
15 investment into their infrastructure when they
16 can barely meet their bottom line?

17 Thank you for your time.

18 MS. GALLARDO: Thank you, Evelyn.

19 All right, up next we have Brian Biering.
20 Reminder to spell your name.

21 Brian, your line is open. Please un-mute
22 and begin.

23 MR. BIERING: Hi. This I Brian Biering
24 on behalf of Diamond Generating Corporation. My
25 last name is spelled B, as in boy, -I-E-R-I-N-G.

1 Diamond Generating Corporation operates
2 roughly 1,300 megawatts of peaking capacity in
3 California in the CAISO that provides critical
4 grid reliability insurance to the CAISO and other
5 grid operators. We are actively evaluating
6 various opportunities for capacity expansion,
7 also closely looking at the carbon profile of our
8 resources and looking at ways that we can
9 decarbonize through renewable natural gas and
10 adding storage. I would also point out that
11 Diamond's parent corporation, Mitsubishi
12 Corporation, is a global leader in hybrid
13 technologies, and that's something we're looking
14 at as well.

15 You know, given that the grid is already
16 built around many of these resources, we really
17 feel that they provide an opportunity to
18 decarbonize the grid but really do so at a way
19 that minimizes the ratepayer expenses that are,
20 you know, inherently associated with meeting the
21 SB 100 targets.

22 So we see these facilities as providing a
23 critical transition opportunity into the SB 100
24 future. And to really do that, I think that the
25 hurdles that we're seeing have been highlighted

1 by a number of the other speakers, and that's
2 really in the procurement space. We really
3 support, you know, Dawn and others' efforts to
4 drive long-term contracts for new, you know,
5 hybrid resources, you know, hydrogen use. But we
6 really need to see more there to really make
7 these investments and avoid some of those early
8 economic retirement risks that have been
9 identified by the Energy Commission and the CPUC
10 in the past.

11 So really appreciate the opportunity to
12 speak here and support the Commission's work in
13 this important area.

14 Thank you.

15 MS. GALLARDO: Thank you, Brian.

16 So this is Noemi, the Public Advisor
17 again. I see no more hands, so let me just give
18 a reminder. If you do want to speak, this is
19 your chance. You would hit the raise-hand icon.
20 And if you're on the phone, you would press star
21 nine. Okay, I'm seeing one more person.

22 So Miguel Sierra Aznar, your line is
23 open. And a reminder to, please, spell your
24 name.

25 MR. SIERRA AZNAR: Yes. Good morning

1 everyone. This is Miguel, M-I-G-U-E-L from Noble
2 Thermodynamics. So we are a small startup spun
3 out of UC Berkeley, actually working very much
4 focused on zero-carbon dispatchable capacity, so
5 kind of at the core of the conversation today.

6 The first thing we wanted to say is,
7 obviously, thank you to the California Energy
8 Commission for the continued support. We spun
9 out of, actually, one of the grants. And we are
10 very happy to see the bridge FOA (phonetic)
11 coming out this year and, hopefully, continuing
12 next year.

13 I think I will add to that, apart from,
14 obviously, gratitude, raise the challenge that a
15 startup like ours, developing new technology in
16 this space, are facing around permitting. So as
17 we try to deploy a demonstration project, or even
18 run our own facilities, part of the support that
19 I think California Energy Commission -- and I
20 will add to this conversation, the Air Quality
21 Management Districts -- is to speed up or
22 streamline the permitting process for a startup
23 or, actually, build a new mechanism, maybe in the
24 sense of, maybe, temporary permits used for small
25 businesses in trying to deploy units of these

1 characteristics.

2 We, as I said, are trying to deliver this
3 zero-carbon dispatchable power. And we are doing
4 that in Oakland. We, obviously, are facing the
5 challenges of obtaining the permits to actually
6 be able to provide that power. And that will be
7 something that, I think, either CPUC, California
8 Energy Commission, and Air Quality Management
9 District can work together to streamline that
10 for, as far as more companies have put innovation
11 in California.

12 So with all that said, I just want to
13 resonate to everyone else that support is much
14 needed. I think natural gas, it's not so much
15 natural gas being the enemy, it's just making
16 sure that we have the right technologies out
17 there to secure the future of California's
18 electric grid, both in reliability, as much as
19 affordability for the ratepayers. And that goes
20 in line with not picking winners. I think
21 innovation is (indiscernible) creativity. And
22 for that, picking winners on those grants or
23 those funding opportunities, I think is not
24 beneficial. So I would say, please, continue to
25 support technologies all across the spectrum.

1 Thank you so much.

2 MS. GALLARDO: Thank you, Miguel.

3 This is Noemi Gallardo, the Public
4 Advisor again. I do not see any other raised
5 hands.

6 I want to remind everybody that we also
7 welcome written comments, which are due by 5:00
8 p.m. on December 16th. To submit written
9 comments, please visit CEC e-filing Docket Number
10 20-SIT, that's S, as in Sam, -I, as in Ivan, -T,
11 as in Tom, -01 or zero one. I should be clear
12 about that. The links to the comment page for
13 this docket. And the workshop notice provides
14 detailed instructions on how to submit comments.

15 Jim, back to you.

16 MR. BARTRIDGE: Thanks Noemi.

17 And I just want to thank everyone, all
18 our panelists and participants, for their
19 comments this morning.

20 And let me just ask if the Commissioners
21 have any closing remarks for our morning session.

22 COMMISSIONER DOUGLAS: Okay. This is
23 Commissioner Douglas. I'm not in front of my
24 camera at this moment but I just want to thank
25 all of the panelists and public commenters.

1 You've given us a lot to think about and a lot of
2 good information. And I definitely appreciate
3 your participation and (indiscernible).

4 That's all I've got right now.

5 MR. BARTRIDGE: Thank you, Commissioner.

6 Any other Commissioners who would like to
7 make closing remarks for this morning's session?
8 Okay.

9 Hearing none, this concludes our morning
10 session of the workshop, and we'll resume at 1:30
11 for session two where Panel 3 will discuss
12 finance and governance opportunities. And we
13 hope to see you all back here at 1:30. Thank you
14 so much.

15 (Off the record at 11:53 p.m.)

16 (On the record at 1:30 p.m.)

17 COMMISSIONER DOUGLAS: All right. Well,
18 good afternoon everybody, and welcome back to
19 this afternoon's session of the Lead Commissioner
20 Workshop on Incremental Improvements to the
21 Natural Gas Power Plants for Electric System
22 Reliability and Resiliency.

23 For those of you just joining, we've had
24 a positive discussion today, and I encourage you
25 to listen to the workshop recording that will be

1 posted after the meeting. Our morning session at
2 two panels. The first included equipment
3 manufacturers, storage advocates, and project
4 owners and operators describing possible power
5 plant improvements and their recent experiences
6 with them. The second panel included Air
7 Districts and the Energy Commission discussing
8 permitting opportunities, and Marin Clean Energy
9 and the California Independent System Operator
10 highlighting process improvements.

11 The incremental improvement that existing
12 natural gas power plants discussed this morning,
13 including the additional battery and/or energy
14 storage, can increase plant output, efficiency,
15 turndown and flexibility, and provide insurance
16 against the extreme weather, fire or climate-
17 related events we experienced this summer.

18 This leads to the focus of our afternoon
19 session, contracting for these incremental
20 improvements and the services they can provide to
21 help ensure a reliable electric system as we
22 continue to implement our energy goal.

23 At this point I'll ask my colleagues, the
24 Commissioners on this, participating in this
25 workshop if they have any opening remarks they

1 would like to make?

2 All right, it looks like we do not, so
3 I'll turn it over to the Public Advisor for some
4 logistical information and instructions.

5 Thank you.

6 MS. GALLARDO: Thank you, Commissioner
7 Douglas.

8 Good afternoon everyone. I'm Noemi
9 Gallardo, the Energy Commission's Public Advisor.

10 This workshop is being recorded and being
11 help remotely without a physical location
12 consistent with Executive Orders N-25-20 and N-
13 29-20, and the recommendations from the
14 California Department of Public Health, to
15 encourage physical distancing to slow the spread
16 of COVID-19.

17 The public may participate and/or observe
18 the meeting consistent with the direction in
19 these executive orders. Instructions for remote
20 participation can be found in the notice for this
21 workshop. If you have any trouble with the Zoom
22 online platform during the workshop, you can also
23 call in at (669) 219-2599 or (877) 853-5257 and
24 enter the morning session I.D. 937 8126 7870.
25 This information is also being shown the deck

1 right now. The master deck of PowerPoint slides
2 shown today have been posted. To find them, go
3 to the Energy Commission's website at
4 energy.ca.gov. And on the home page, scroll down
5 to events, click on the link for this workshop
6 and you'll find the related material there.

7 Because we care about you and the rest of
8 our fellow Californians, we want to encourage
9 everyone to stay safe surface the pandemic and
10 take the following steps, wash your hands, wear a
11 face mask, clean frequently, maintain at least
12 six feet of distance from others, and visit
13 covid19.ca.gov for more information.

14 Next slide.

15 Zoom is the Energy Commission's online
16 platform of preference. I'll provide some quick
17 instructions to improve your experience.

18 For those who can see this slide, we
19 included images of the various icons you can use
20 during the workshop. We suggest clicking on
21 gallery view in the upper right corner of your
22 screen to see all speakers simultaneously or, if
23 you prefer, click speaker view to see one speaker
24 at a time.

25 At the bottom of your screen you'll see a

1 black bar with an icon that looks like a high
2 five which you can use during the public comment
3 period to indicate you'd like to speak. For
4 those who are panelists, you can use the icon
5 that looks like a microphone to mute and un-mute
6 when appropriate.

7 Please note that the chat and Q&A
8 features are disabled for this workshop.

9 Next slide.

10 We will offer a period for public
11 following the panelists' presentations. Due to
12 time constraints, today's speakers will not
13 respond to questions asked during the public
14 comment period. But those questions and the
15 comments will become part of the record.

16 Each person will have up to three minutes
17 to speak. And organizations are limited to one
18 representative. If you would like to make a
19 comment in Zoom, click on the raise-hand icon and
20 we'll open your line.

21 For those who have phoned in, you'd press
22 star nine to raise your hand and star six to un-
23 mute.

24 When you are called upon, please spell
25 your first and last names. We want to make sure

1 we have a clear record. Also, state your
2 affiliation, if any, and then begin your coms.

3 Alternatively and in addition, we welcome
4 written comments which are due by 5:00 p.m. on
5 December 16th. The meeting notice provides
6 detailed instructions on how to submit comments.
7 And you can also see that here on the screen.

8 With that, I'll turn it over to Jim.

9 MR. BARTRIDGE: Thanks Noemi.

10 I'd like to welcome Michele Kito with the
11 Public Utilities Commission who will be leading
12 our afternoon panel discussion. You can see we
13 have listed our panelists today. As with this
14 morning, we'll hold questions and discussion
15 until after we've heard from the panel, at which
16 point we'll turn first to Commissioners, followed
17 by public comments.

18 And with that, I'll turn it over to
19 Michele to get us started.

20 Michele?

21 MS. KITO: Hi. I'm Michele Kito. I work
22 at the CPUC in the Energy Division in the
23 Resource Adequacy and Procurement Oversight
24 Section.

25 The way we're going to run the panel

1 today is I'm going to have some slides. And then
2 we're going to have each of the panelists speak
3 for a few minutes. We may then move to the
4 questions before, I believe, taking additional
5 questions from the dais, the virtual dais, from
6 about 2:20.

7 So today I'm just going to be talking
8 about some of the opportunities and challenges
9 regarding the incremental capacity additions that
10 were largely discussed this morning.

11 Next slide please.

12 So in broad overview, what I want to say
13 today is that there are existing opportunities
14 for procuring incremental capacity. And there
15 are new opportunities that may arise with
16 additional procurement requirements that may come
17 from the Commission. I also want to note,
18 however, that there are challenges with bringing
19 these incremental capacity additions online by
20 Summer 2021.

21 Next slide please.

22 So first, I just want to note that there
23 are current authorizations that specifically
24 address incremental gas additions. The CPUC's
25 Integrated Resource Planning Decision, which is

1 D.19-11-016 did authorize procurement of up to an
2 additional 3,300 megawatts of new resources to
3 replace the once-through cooling facilities. That
4 decision specifically allowed incremental
5 additions at gas-fired facilities. And the
6 language was,

7 "If there are existing fossil-fueled
8 resources that may have the ability to make
9 modifications or produce incrementally more
10 to serve reliability needs, those may still
11 be considered, even if the units were not
12 part of the baseline," that's just technical
13 from the decision, "but only for the
14 incremental capacity added.

15 So I would note that to date no load-
16 serving entity has chosen to procure this type of
17 incremental capacity to meet the identified IRP
18 needs, at least as reported in filings to the
19 CPUC. However, I would note that some folks have
20 procured gas-fired resources and, in particular,
21 Sutter was tied in as -- half of Sutter was tied
22 in as a pseudo-tie, and some entities have
23 procured capacity from Sutter.

24 Next slide please.

25 In addition, I would note that the CPUC

1 recently opened a new reliability OIR in response
2 to the August heat storm events. The new OIR
3 number is 20-11-003. And the purpose is to
4 address summer reliability needs for the upcoming
5 Summer 2021. The specific purpose is to either
6 increase energy supply or decrease demand during
7 the peak and the net-peak hours for the upcoming
8 summer if needed.

9 But I just wanted to note that the OIR
10 specifically asked this question, and this is
11 relevant to the discussion here today, and the
12 question is:

13 "Should the Commission consider expedited
14 procurement, including through the cost
15 allocation mechanical, for additional
16 reliability procurement, for example,
17 expansions of existing gas-fired resources,
18 that could be online for Summer 2021 or 2022.
19 If so, how could this occur in order for the
20 additional capacity to be online in time to
21 address summer reliability needs?"

22 Next slide please.

23 I just also wanted to note that there are
24 likely to be additional procurement requirements
25 that will be upcoming to replace the closure of

1 Diablo Canyon. Diablo Canyon is a 2,000 megawatt
2 nuclear power plant which will be going offline
3 at the -- in two stages at the end of 2024 and, I
4 believe, in August of 2025.

5 In the CPUC's IRP proceeding they have
6 scoped the issue of the additional procurement
7 that may be required to address the retirement of
8 Diablo Canyon. The scoping ruling in that
9 proceeding currently includes the following
10 schedule. There's a Staff analysis of the
11 individual IRP plans which is ongoing here in the
12 fall.

13 There is expected, per the scoping
14 ruling, a ruling regarding the replacement power
15 and -- wait. There's going to be a ruling
16 regarding the possible replacement and workshops
17 scheduled in the scoping ruling for January 2021.
18 In addition, comments and replies are expected to
19 come in February and March. Finally, the
20 proposed and the final decision would be in the
21 April to May 2021 time frame.

22 Next slide please.

23 So I just wanted to -- I believe CEC
24 Staff talked about this earlier, but I just want
25 to talk a little bit about the resources that we

1 have online and that we used on August 14th,
2 2021.

3 So the green line is the renewables. And
4 you can see that the renewables don't entirely go
5 off in the morning and evening hours, and that's
6 because we have geothermal and biomass assets
7 that are base-loaded. In addition, we have wind
8 assets that often produce during the evening.
9 But the large bulk of it is solar and you can see
10 that in this slide.

11 In addition, you can see the nuclear,
12 which is the flat line at 2,000. You can also
13 see the hydro, which is the blue line, which is
14 has some ability to meet the net peak ramp needs.

15 Then I also want to note that the orange
16 line is the gas-fired resources within
17 California. And red is the imports. However,
18 the imports, I just want to note, the imports
19 include specified and unspecified imports, so
20 those imports include Palo Verde and Hoover, as
21 well as other resources coming from the north and
22 south.

23 Okay. Next slide please.

24 I just wanted to talk a little bit about
25 the emissions profiles. These are the emissions

1 profiles of the natural gas fleet, and also of
2 the imports. So often folks -- I think folks
3 believe that the imports are largely coming from
4 the northwest and hydro. But they also do follow
5 and appear to be in proportion to the gas fleet.
6 So I went and looked.

7 This is a slide from CAISO and it shows a
8 million tons of CO2 per hour. And I looked at
9 our ending 19 in particular and the imports at
10 that hour were 7,064. The GHG was 3,418.
11 Likewise, the production from the natural gas
12 fleet was 25,593. And the CO2 emissions were
13 12,307. So you can see that they're proportional
14 to the -- well, actually, the emissions profile
15 of the imports is similar to the emissions
16 profile for the natural gas fleet. So it's not
17 clear that they're necessarily hydro resources,
18 so they look a lot like the natural gas fleet.
19 That's the purpose of this slide.

20 Next slide please.

21 So I just want to note that there are
22 both opportunities and challenges to bringing on
23 additional incremental capacity for this summer.
24 The Commission does have authorization and does
25 allow incremental natural gas-fired additions to

1 meet the IRP requirements. In addition, we would
2 imagine that there will be additional
3 authorizations because of the retirement of the
4 nuclear power plants, although that wouldn't be
5 in time for this summer.

6 I would note that there are a number of
7 challenges. There will be, likely, opposition
8 from a variety of organizations. Some folks may
9 believe that it's contrary to SB 350 goals. And
10 there may be timing or cost issues. Some of the
11 timing issues were discussed this morning.

12 In addition, I would note that it may
13 also be contrary to the business models of some
14 of the load-serving entities in California.

15 So that ends my slides. And so what
16 we'll do now is we'll hear briefly from the panel
17 members. They include Scott Ranzal from PG&E,
18 also Valay-Paz from SDG&E, Mark Irwin from
19 Edison, and Katie Ramsey from the Sierra Club.
20 So I will invite Scott to say a few words.

21 I was hoping that you folks could first
22 introduce themselves, maybe talk a little bit
23 about your role in procurement, your
24 organization's role in procurement, the load that
25 your organization serves now and, potentially,

1 expects to serve in the future. And if you have
2 any thoughts about what you've heard so far
3 today, that would be fantastic.

4 Thank you.

5 MR. RANZAL: Quick sound check. Can you
6 hear me?

7 MS. KITO: Yes, we can.

8 MR. RANZAL: Great. Thank you. Thank
9 you for the opportunity to speak today. My name
10 is Scott Ranzal. I am with Pacific Gas and
11 Electric Company. My current role is the
12 Director of Portfolio Management for our
13 Wholesale Electric Portfolio.

14 Inside that role we have responsibility
15 for the electric procurement responsibilities for
16 all of Pacific Gas and Electric to unload
17 procurement load. And we, obviously, work with
18 an extensive fleet of UOG assets, as well as
19 contracts to serve customers in Northern and
20 Central California. PG&E currently serves
21 approximately half of the load in Northern
22 California, along with other load-serving
23 entities in the PG&E TAC (phonetic) area and have
24 continued to do so for quite some time.

25 As far as the discussion from this

1 morning, I thought it was a very positive
2 discussion about opportunities that exist and the
3 ability of the -- whether it be the PG&E fleet or
4 the existing fleet inside the state of
5 California, to expand and/or modify technology or
6 process to gain some advantages and prepare for
7 potential issues in the 2021 time frame and
8 beyond. Obviously, the resources mix inside the
9 state of California has changed dynamically over
10 the past five-plus years and continues to do so.
11 And that clearly is changing the profile and
12 needs that exist from the systems.

13 So albeit we were able to get through the
14 events of August, I think preparation, planning,
15 and effort towards addressing that into the
16 future, both near and far, are very positives
17 steps. And I was definitely impressed with some
18 of the comments and information that was provided
19 this morning.

20 I know that inside of PG&E, we have been
21 looking extensively at the fleet of assets that
22 we manage in trying to identify, whether they be
23 technology or process, where operating and
24 performance improvements. We do so on a regular
25 basis and certainly have continued that, even as

1 a result of the events that took place in August
2 and September of 2020 and would, obviously,
3 continue to do so. We would regularly analyze
4 that fleet, understand what capabilities exist,
5 and try to find opportunities that both increase
6 performance and do so in at an appropriate cost-
7 effective level so that it serves customers
8 appropriately.

9 And we would continue to do that and have
10 done that extensively, not only for the existing
11 fleet but, also, for the procurement that exists
12 out into the future that Michele talked about
13 where PG&E has responsibility for a portion of
14 the 3,300 megawatts that exist.

15 And with that, I will close and be ready
16 to take any questions that might be out there.

17 Michele, let me know if I missed
18 anything.

19 MS. KITO: Yeah. No, that's great.
20 Maybe we could move next to Elsa?

21 MS. VALAY-PAZ: Hi. Good afternoon. Can
22 you see me?

23 MS. KITO: Yes, we can.

24 MS. GALLARDO: Yes, we can.

25 MS. VALAY-PAZ: Okay. Perfect. Thank

1 you, Michele.

2 And thank you, Commissioners, for the
3 opportunity of being here. I mean, what a timely
4 conversation to have right now? I mean, we --
5 Michele talked about what's going on in the space
6 in terms of the IRP Reliability RFO procurement,
7 the electric reliability OIR, the heatwave that
8 just happened in the summer.

9 And, well, first and foremost, talking a
10 little bit about myself, I'm Elsa Valay. I'm the
11 Director of Origination of Energy Supply and
12 Dispatch. Really, what that means is that I have
13 the benefit of being involved in several stages
14 of our procurement efforts, so I'm involved in
15 the origination side, launching the RFOs, but I
16 also lead the team that really participates in
17 the market every day at CAISO and bids our assets
18 according to the least cost dispatch model, so I
19 get to see like several faces of procurement. So
20 I'm lucky to experience that every day.

21 At SDG&E, we're an innovative San Diego-
22 based electric and gas utility. And we're really
23 guided by our mission that is about improving the
24 lives and communities by building the safest,
25 cleanest, most reliable energy infrastructure

1 company in America. So reliability is very close
2 to our heart. It's part of our mission state.

3 On average, we're proud to serve about
4 3,000 megawatts of load. And as we look ahead
5 into the future, SDG&E is about to experience
6 significant load departure. We anticipate that
7 in the next decade it could be between 70 and 80
8 percent. And so, obviously, we're going through
9 a lot of changes. And energy transition is at
10 the heart of what we do.

11 Well, I would say, listening to the
12 comments from our panelists in the morning, I
13 think that SDG&E is very well aligned with
14 what -- everything that was said. Reliability
15 needs to be prioritized. The supply mix is
16 changing with the increase of renewable
17 penetration in our region. We also have a shift
18 from centralized procurement that it was,
19 basically, three IOUs in the state that were
20 procuring to decentralize procurement. We talked
21 about how the peak is changing and now it's more
22 about the net peak, load peak, and that's
23 shifting to 7:00 p.m. versus 4:00 p.m. So,
24 obviously, a lot of changes and a very timely
25 conversation to have, as I said before.

1 At SDG&E, we're -- I believe that when we
2 look at reliability and we're trying to assess,
3 you know, how to address the issues, we consider
4 a multifaceted approach. There's not one silver
5 bullet that will fix the issue. And I believe we
6 need to prioritize reliability, affordability,
7 and clean. I mean, all of those need to go
8 together.

9 And, however, Michele said something that
10 also really resonated with me. She talked about
11 the opportunities, but she also talked about the
12 challenges that we have ahead. And part of the
13 challenges that we see at SDG&E are related to
14 timing. So the electric reliability OIR that
15 came out was asking questions about, like how can
16 we meet the need, the reliability need, in 2021,
17 and then in 2022?

18 So when we're thinking about those
19 solutions, I believe that they're short-term
20 based. The solutions are probably a little bit
21 different; right? You probably need to look at
22 what we were talking about this morning, like are
23 there any improvements that we can implement in
24 our gas fleet that are cost effective and that
25 will be online on time? Can we implement

1 projects that can really maximize the
2 interconnection capacity? Can we add chillers to
3 our facilities that really allow our generators
4 to perform at maximum level and not be subject to
5 ambient de-rates? If we look at the preliminary
6 root cause analysis, ambient de-rates really hurt
7 supply during the heatwave storm.

8 So SDG&E, what are we doing? We're very
9 focused on meeting the needs of the IRP
10 Reliability RFO. I believe that, like it was
11 stated this morning, we need regulatory
12 certainty. And we, obviously, are seeking for
13 expedited approval of those so we can move
14 forward with the timelines and make sure that we
15 have the resources available, our fair share of
16 the 3,000 megawatts available by 2021.

17 In addition to that, thinking about 2022,
18 and even 2021, there's resource enhancements that
19 can be done. Some of those were talked about in
20 the morning. I'm not going to elaborate more on
21 them. But we're calling minor modifications that
22 will really improve the reliability of service
23 that our resources provide. We believe that we
24 can do some of that work during the system plant
25 maintenance outages.

1 And then looking ahead, you know, we need
2 to consider expedited procurement. And SDG&E
3 believes that there's an opportunity to take a
4 look at even some of the resources that probably
5 were not selected during a previous RFO and
6 really maximize the time that we spend on that.

7 It looks like time is of the essence.
8 And it really takes a long time to develop these
9 resources. In the morning the developers talked
10 and others talked about the time that it takes to
11 really have resources online.

12 So those are some of the things that
13 we're thinking of. Obviously, looking forward to
14 questions and addressing any further comments
15 that you have, Michele.

16 Thank you.

17 MS. KITO: Thanks Elsa.

18 Next up we'll have Katie Ramsey from the
19 Sierra Club.

20 MS. RAMSEY: Hi. Can you all hear me?

21 MS. KITO: Yes, we can. Thanks.

22 MS. RAMSEY: Great. So hello and thank
23 you very much for allowing me to participate on
24 this panel today. I am a Staff Attorney for the
25 Sierra Club. And I know that this slot on the

1 panel was reserved for a member of the
2 Disadvantaged Communities Advisory Group. And
3 while Sierra Club technically is not a member of
4 that group, we work hand-in-hand with many of the
5 members on that group, particularly with respect
6 to issues related to gas plants and how they fit
7 in with California's climate inequity
8 requirements.

9 So I think everyone on this panel is
10 probably aware that roughly half of the state's
11 gas plants are located in disadvantaged
12 communities. So when we talk about making new
13 investments in the gas fleet there are very clear
14 equity concerns. Most of these plants are
15 already disproportionately affecting overburdened
16 communities. And those same communities are
17 pushing the state to reduce emissions from these
18 gas plants. So any investments in these
19 locations need to be scrutinized for how they
20 will actually impact public health.

21 We've heard from the Air Quality
22 Management Districts for the air basins that have
23 been out of attainment for ozone and particulate
24 matter for years. The state's peaker plants tend
25 to operate on days when those ozone

1 concentrations are at their highest. So on the
2 worst pollution days of the year some of these
3 gas plants, particularly peakers, are making air
4 quality worse at the worst possible time. So
5 that air pollution has very real tangible effects
6 on Californians.

7 The COVID pandemic has thrown all of this
8 into very sharp relief (phonetic). We know that
9 COVID risks increase significantly with increased
10 exposure to air pollution. So when we're talking
11 about the emissions from these plants, it has
12 very real and direct impacts to our communities.

13 So I hope that the Commission is keeping
14 those in mind when reviewing these investments
15 and considering very carefully which investments
16 will actually increase versus decrease emissions
17 from those plants.

18 So in reviewing the proposals that were
19 put out today, there are two main concerns that
20 Sierra Club wants to highlight. The first
21 concern is air quality. And the second is how
22 well each of the proposed investments fit in with
23 long-term planning and whether they're really
24 cost effective in that longer time span lens?

25 So the first concern that I mentioned is

1 air quality. SB 350 requires the state to
2 minimize air pollution with special priority for
3 disadvantaged communities. And thank you,
4 Michele, for flagging this in the challenges.
5 You knew that I was going to talk about this at
6 length.

7 So the current planning efforts for the
8 Public Utilities Commission for 2030 include
9 gigawatts of new renewable energy and storage.
10 And the preferred system plan does not include
11 any new gas capacity. So even under that
12 ambitious plan with no new gas capacity the PUC
13 has shown that the criteria pollutants are
14 expected to increase under that 2030 plan for
15 some of the most vulnerable communities in
16 California, namely the South Coast Air Basin and
17 the San Joaquin Air Basin.

18 So from a public health and equity
19 perspective we need to be reducing air pollution
20 above and beyond what we've already planned. So
21 rather than tinkering with the efficiency of the
22 gas plants the Commission should be asking itself
23 whether those same amount of dollars invested in
24 these projects might be better spent in
25 alternatives that are completely independent of

1 the gas plants and also provide some reliability?

2 Are there any other options available
3 that would actually decrease criteria pollutant
4 emissions? If so, that's the direction that I
5 would want to see the Commission taking.

6 So, for example, I know that So Cal
7 Edison has highlighted decreased emissions from
8 their battery hybridized gas plants. And we also
9 heard that those projects were paired with new
10 emissions controls. So one thing that I want the
11 Commission to be considering in these new
12 projects is are those emission controls required
13 to meet those same kind of criteria pollutant
14 reductions versus how many -- how much emissions
15 reductions can we expect to see from these
16 hybridized projects?

17 The second concern that I wanted to just
18 touch on before we really dive in is whether
19 these projects are really cost-effective
20 investments that fit in with our long-term
21 planning?

22 So as I mentioned earlier, the preferred
23 system plants in the integrated resources
24 planning proceeding at the PUC already doesn't
25 include any new gas capacity. So the PUC will

1 probably update some of those forecasts to
2 account for future heat emergencies, like we saw
3 in August, but our climate mandate under SB 350
4 will stay the same. And we have the same target
5 for climate neutrality by 2045.

6 So the state's load-serving entities are
7 making these plans for these big investments in
8 cleaner alternatives but there's ample room for
9 regretful procurement if we're investing in
10 fossil fuel resources. Any new investment needs
11 to be scrutinized for how well it fits in and
12 whether it's truly cost effective over the
13 lifespan of those projects.

14 So for each of these projects the
15 Commission should be asking how soon will these
16 investments be paid off? Will the plants need to
17 run more frequently in order to pay off these
18 investments? Will these investments extend the
19 life of gas plants beyond when their plant is
20 useful?

21 Putting money into these investments need
22 to be considered in the context of how long and
23 how much we expect these gas plants to operate.
24 If these investments are resulting in us
25 increasing dispatch or increasing utilization of

1 those plants, it should be viewed very carefully
2 with whether that fits in with our long-term
3 goals.

4 So I want to see all of these proposals
5 compared against other alternatives, including
6 ways to reduce demand, ways to increase supply-
7 side resources such as batteries or any other
8 resources that could be producing during those
9 net-load leaks, and that's the direction that --
10 that's the framework that I'm viewing these
11 proposals and that I hope the Commission and
12 other stakeholders are keeping in mind viewing
13 these proposals as well. So those are my ideas
14 and that's the framework that I'll be viewing the
15 rest of these proposals with.

16 Thanks.

17 MS. KITO: Thank you, Katie.

18 Next we'll have Mark Irwin from Southern
19 California Edison.

20 MR. IRWIN: Okay. Thank you, Michele.
21 Hopefully you can hear me.

22 MS. KITO: Yes.

23 MR. IRWIN: Okay. Great. Thank you very
24 much for allowing me to speak today. Both thank
25 you to the Commissioners and the Staff. I really

1 appreciate the opportunity.

2 My name is Mark Irwin. I'm a Director of
3 Energy Contract Management at Southern California
4 Edison, so my team manages all of our existing
5 contracts which is where these type of proposals
6 would generally come from in our organization.
7 And we would manage the evaluation and
8 negotiation of any modifications to the contracts
9 coming forward.

10 I really, really appreciated the comments
11 made this morning, and they're very consistent
12 with my recent experience in talking to projects
13 about these type of changes and modifications.
14 We've talked about some of the key issues which
15 is how fast it has to happen. The Air Quality
16 Districts, I think, are saying it needs to
17 already be started which, I think, is consistent
18 with what we're hearing from counterparties. The
19 procurement side, we heard from Calpine talk
20 about, again, it needs to start within the next
21 30 days. So I think those are both things that
22 we've seen and experienced.

23 And then the other piece that I think is
24 on the table to talk about is what does cost
25 recovery look like? One of the big challenges

1 we've seen in some of our conversations with
2 people has been around the current term of their
3 contract and whether they can really cost
4 effectively price an upgrade under the current
5 term of a contract that may only have, you know,
6 somewhere in the one to three to five years
7 remaining? So that becomes a cost
8 competitiveness issue.

9 So we've seen a lot of this. We've
10 actively managed our portfolio now for, you know,
11 quite a number of years, and so we are familiar
12 with the resources. I appreciate all the
13 comments around, you know, what the system needs
14 going forward. And I think it is important to
15 ensure that what we're doing is consistent with
16 those system needs. The plants we have seen
17 coming forward with these are plants that are
18 still in the, you know, well under 20 years into
19 their lifecycle, so they are what I would
20 consider the more model plants in the fleet.
21 We've not seen really much in the way of
22 proposals from some of the aging plants so far.

23 So I think as I -- the other -- oh,
24 sorry.

25 One other thing Michele wanted us to

1 answer, which I think really goes into our
2 question -- into our thinking here, is what's our
3 load look like? What do we serve? And what do
4 we expect to serve in the future?

5 So today, you know, we serve, as I
6 recall, in the 70-odd percent of the customers in
7 our TAC area, that's expected to decline. And
8 we've seen some more action that might accelerate
9 the decline from what our most recent forecasts
10 have been. So we do expect to see that decline,
11 which also informs us in how long we're willing
12 to go on our position which is, you know, some of
13 these comments before about, you know, somebody
14 may need another three, five, seven years on
15 their contract to be able to pay it out at a
16 reasonable price. And with that, you know,
17 declining load profile that we're going to serve,
18 that becomes a much greater risk.

19 We also will be acting as the central
20 procurement entity for all local in our area.
21 And many, many of these plants are in local areas
22 because that's what they were procured to do to
23 start with was to serve a local need. So there's
24 also the tension between whether the central
25 procurement entity should be considering these as

1 it gets established next year or not?

2 So lots of, I'd say, complications but, I
3 think, nothing that makes things impossible, just
4 puts things in a position where we have to make a
5 judgment on the most cost-competitive thing to do
6 for customers. And if we have -- as we have
7 concerns over doing longer-term transactions,
8 we'd want to put that in front of, you know, the
9 appropriate regulatory process. The question
10 becomes is, is there time? And I think that
11 really goes to the root of 2021 is, you know,
12 what is there time for? What is there not time
13 for? What is cost effective? What isn't cost
14 effective within these kind of frameworks and
15 structures that we've got.

16 So it's a very, very interesting
17 challenge. And I'm happy to engage in the
18 conversation about how we're thinking about it.

19 MS. KITO: Thanks Mark.

20 I just wanted to follow up with one
21 question that was discussed this morning. Edison
22 had put on -- had hybridized some of it -- or one
23 of its peakers. And I just, I believe it was a
24 ten megawatt, four megawatt hour upgrade. And I
25 just want to clarify that really helps with

1 flexibility but it wasn't really much incremental
2 capacity; is that right? It's only, really, one
3 megawatt?

4 MR. IRWIN: I'm not sure there was any
5 incremental capacity, Michele. If there was it
6 was minor. The five peakers that we have, if we
7 hybridized any of them, there would be -- the
8 design was really no incremental capacity, it was
9 about fast response. And we actually completed
10 two of the five.

11 MS. KITO: Okay. Thanks. I just wanted
12 to clarify that --

13 MR. IRWIN: Yeah.

14 MS. KITO: -- I mean, there was
15 tremendous interest in the hybridization. And it
16 does help with the flexibility in emissions. But
17 I just wanted to clarify in terms of summer
18 reliability, it may not get incremental capacity
19 to hybridize those assets?

20 MR. IRWIN: That's correct. Yeah.

21 MS. KITO: Okay. Thanks.

22 And then I just want to talk a little bit
23 about whether your organizations are considering
24 these for your bundled service customers, and
25 whether the IOUs would be willing to consider

1 these upgrades as a CAM (phonetic), sort of a CAM
2 upgrade on behalf of all load-serving entities,
3 and if you have any thoughts about that, any of
4 you?

5 MR. IRWIN: Well, this is Mark. I can
6 take a shot at that first.

7 So most of the projects that we are
8 looking at this are currently CAM contracts. As
9 I said, they were bought for local reliability.
10 We have been willing to look at them as CAM
11 resources because they are CAM resources. And it
12 would be probably quite a bit of a challenge to
13 try to break a piece of the resource part. As we
14 look at extensions beyond, if we were in a
15 situation where we had to do an extension,
16 substantial extension, then I think we'd still
17 consider them as CAM resources.

18 You know, Edison has taken the position
19 to date, and as I talked about with our central
20 procurement entity activity that we are going to
21 be taking on, I think that we view the buying
22 resources for the system when the system has
23 requirements in our serving territory and for
24 overall state reliability has been something
25 we've been, you know, willing to do our share,

1 and our share being kind of our TAC area share.

2 MS. KITO: Okay. Thank you.

3 Elsa?

4 MS. VALAY-PAZ: Yeah, Michele, I think
5 that's a great question. As we were analyzing
6 the different options to kind of like meet
7 reliability, like in 2021 and 2022, some of these
8 upgrades are definitely focused on what we're
9 calling our Local Reliability Portfolio. So I
10 think, for us, having CAM as a cost-recovery
11 vehicle for those seem appropriate. It's also,
12 you know, we already have a methodology for
13 passthrough of the costs and all that. So we
14 believe that that's, you know, that would be the
15 right approach for those.

16 MS. KITO: Okay. So -- and maybe, Scott,
17 you want to address this. I would note that the
18 Calpine fleet that they indicated this morning
19 that was able to add incremental capacity, that
20 was Delta, Pastoria, and Metcalf, they have
21 numerous offtakers. And do any of you have
22 thoughts about how one could, I mean, should it
23 be cost effective, how one would contract for it
24 given that there are so many offtakers on that?

25 MR. IRWIN: So, Michele, it's Mark. I

1 can comment if you'd like?

2 Or, Scott, you can go ahead?

3 MR. RANZAL: Go ahead, Mark. I can
4 follow.

5 MR. IRWIN: Oh. Okay. So when there's
6 multiple offtakers, what that generally is an RA,
7 a series RA agreements. And so what we've found
8 is, if that's the structure, you know,
9 extending -- these type of upgrades have,
10 generally, two types, two elements, ones an
11 efficiency element and ones an RA, a capacity
12 uplift. The capacity uplift is pretty
13 straightforward to sell through another RA
14 agreement.

15 And what we've seen some parties look for
16 is, you know, certainty of their entire capacity
17 beyond the term. So they're looking to sell a
18 lot of RA in some of the out years and a little
19 bit of RA in some of the inner years. And that's
20 certainly a complexity that we've seen that, you
21 know, to get a little bit in the near term you've
22 got to buy a lot in the long term.

23 MR. RANZAL: Yeah, Michele, I would agree
24 with Mark's comments. In large part what we have
25 seen is that there is a capacity component to it

1 that really extends beyond the existing, you
2 know, regulatory framework and, as a result,
3 contracting out for that longer period of time
4 that the generators need in order to get the
5 payback on the investment that they're making.
6 It creates a challenge to identifying an
7 appropriate way to cost effectively manage the
8 increased capacity and functionality that would
9 become available on the system.

10 MS. KITO: Okay. So I guess what I'm
11 hearing is that all the IOUs are considering
12 these types of upgrades for resources that they
13 already have under contract of under CAM
14 contract? But for the resources that have
15 multiple offtakers, that it's considerably more
16 complex to figure out the way to contract for
17 them going forward?

18 MR. RANZAL: Michele, this is --

19 MS. VALAY-PAZ: I can --

20 MR. RANZAL: -- Scott.

21 Oh, sorry. Go ahead, Elsa.

22 MS. VALAY-PAZ: Oh. Sorry. One thing
23 that I --

24 MR. RANZAL: No.

25 MS. VALAY-PAZ: -- wanted to say, you

1 know, I think it depends because some of these
2 resources might be in a different TAC area. I
3 think that there's mechanisms in place that
4 generators have to have multiple contracts for
5 one resource; right?

6 And I think when, at least for SDG&E,
7 when we're thinking about CAM and cost-recovery
8 treatment related to enhancements, those are
9 resources that we currently have in our
10 portfolio, so we are the offtaker for that. But,
11 for example, if there was a resource available in
12 the PG&E area and SDG&E has an efficient system
13 RA and that is available and we are able to
14 participate in an RFO or whatever and, you know,
15 contract capacity, I think that there's vehicles
16 to do that.

17 So probably I would kind of like -- it's
18 almost like a two-prong approach. If it's a
19 resource that's part of our local reliability
20 portfolio, I think that some of the -- some, if
21 not all, of these enhancements could be part of
22 the CAM cost-recovery mechanism. It's already in
23 place. But if it's about contracting a resource
24 that is in another area, I think, particularly as
25 it is system reliability, other LSEs, not only

1 the LSEs in that area, should have access to
2 them.

3 MS. RAMSEY: I wanted to chime in really
4 quickly on the idea of CAM, using the CAM
5 mechanical to spread these costs. And the first
6 is that California does have an established
7 loading order requirement that energy efficiency
8 and demand response resources be tapped first.
9 And so there should be some caution here before
10 requiring all these purchases to be made that
11 there is real effort expended in trying to find
12 out whether demand response options would be more
13 cost effective.

14 So I realize a lot of this conversation
15 is focused on the technical, on whether we can do
16 this, whether it's possible to get it done by
17 next year, but the Commission should also be
18 keeping in mind that there is still a should
19 question. Like should we be doing all of these
20 investments or should we be looking at
21 alternatives first or in addition? So I would
22 put that out as a caution to make sure that the
23 Commission is really considering demand
24 alternatives first before jumping to buy all of
25 these new projects.

1 MS. KITO: Hey, Kate, this is Michele. I
2 agree with you. And I think the OIR did talk
3 about demand and supply-side options. However, I
4 would note that in the heat storm over the
5 summer, some of the demands and options were
6 firing up diesels to reduce demand at hospitals.

7 So there is a question of whether -- I
8 mean, I think we all want to be prepared for next
9 summer. And I absolutely agree that one has to
10 consider both options. But we also do want to
11 ensure the reliability of the system. And we
12 want to respect all the SB 350 goals, as well as
13 the loading order. But thanks for your comments.

14 MS. VALAY-PAZ: Michele, can I add
15 something on that demand response side, just very
16 quickly?

17 On the SDG&E side -- and you're right, in
18 the electric -- in the reliability OIR there was
19 an opportunity to chime in on demand response
20 side, so I want to clarify, we're not ignoring
21 that. Actually, SDG&E submitted an advice letter
22 with a plan for demand response resources.

23 And a lot of the issues that we see in
24 our area is we don't have CNI participation, and
25 probably because the incentives are not there,

1 and that's what we're working on. We believe
2 that we need to provide the right incentives so
3 customers participate when we have a system
4 reliability event.

5 I think it goes back to the challenges
6 that Michele was talking about in the
7 beginning -- right? -- the timing of it. And we
8 need to ensure the reliability is there. We're
9 obviously, again, we're looking at a multifaceted
10 approach, focusing on CAM because there were some
11 of the questions that were around CAM. And I
12 think that there is a benefit as long as we're
13 able to prioritize reliability, affordability,
14 and clean energy; right? I think those three
15 things are needed. And some of these projects
16 that we're looking at are probably going to move
17 the needle on reliability and are also going to
18 reduce emissions, which is pretty much aligned
19 with some of the conversations that we had today,
20 so I just wanted to add that.

21 MS. KITO: Thanks. So I think we've
22 answered some of the questions about whether
23 you're considering these types of additions. And
24 I think some of you are. I think we've also
25 touched on whether they're cost effective. I

1 assume that you guys are -- Elsa has talked about
2 considering demand-side and supply-side options.
3 I think we're talked about impediments to
4 development. There are issues of cost
5 allocation, load migration.

6 Maybe we could talk about the timing. So
7 to the extent that you are undertaking or
8 considering any of these, are you encountering
9 any permitting challenges or other issues if
10 you're considering these options?

11 MS. VALAY-PAZ: I can start, Michele. I
12 think some of the challenges that we have is
13 until we have regulatory certainty, at least
14 for -- and I'm thinking about the IRP Reliability
15 RFO, you know, the investment dollars that
16 project developers are willing to put in, you
17 know, they're small, so they need that certainty.
18 And you know, condition precedents are regular
19 recourses that we add to contracted to give
20 certainty and comfort to developers; right? I
21 think that that's a big challenge.

22 The other thing, too, is, you know,
23 COVID. We are living in a very uncertain time.
24 And there's going to be supply chain disruptions.
25 That's why we're so focused on the regulatory

1 timeline. And you know, it will be hard to
2 assess if COVID is going to like further disrupt
3 the value chain. It's something that we're
4 looking at and, obviously, very focused on.

5 That's why I believe that if I can call
6 it like low-hanging fruit, other than the
7 Reliability RFO and expedited approval on those,
8 some of these enhancements could help us --
9 right? -- meet the needs in the summer. But it's
10 hard to say like, you know, what are the issues
11 that are going to be ahead? But time is of the
12 essence.

13 MS. KITO: Okay.

14 MR. RANZAL: And Michele --

15 MS. KITO: It looks like we --

16 MR. RANZAL: -- this --

17 MS. KITO: Oh, go ahead. Yeah.

18 MR. RANZAL: This is --

19 MS. KITO: We only have a couple more
20 minutes --

21 MR. RANZAL: -- this is --

22 MS. KITO: -- but go ahead.

23 MR. RANZAL: Absolutely, I would echo
24 onto what Elsa was saying. You heard it this
25 morning that, certainly, COVID has an impact on

1 the way outages are getting managed and the
2 ability to do that. It has also impacted the
3 processes in order to get decisions about cost
4 recovery and working through projects.

5 So I think it's been successful to date
6 but it is certainly slower than it is normally,
7 even though folks are still working very hard to
8 try to do this. And in the shortened time frame
9 we're looking at here, you know, to try to really
10 address what happens for summer of 2021, that
11 window is, unfortunately, closing day -- getting
12 closer and closer to being closed day by day.

13 And you know, the recent increases in
14 COVID are, also, not particularly helpful.
15 Pulling resources from other parts of the
16 country, which is normal practice, has been more
17 difficult to address outage activity and actually
18 get some of these things built and put in place.

19 So even if you are considering some of
20 them and you can get through permitting,
21 operationally achieving them and affording the
22 outage windows associated with doing some of this
23 work are also still hurdles to be crossed, and
24 there's a lot of checks to be marked on the list
25 in order to get the successful conclusions for

1 the system.

2 MS. KITO: Okay. Thanks everyone.

3 It's 2:20, so I think I'm going to turn
4 it back over to Jim to manage questions.

5 MR. BARTRIDGE: Great. Thank you,
6 Michele.

7 And I'll just ask -- just turn it to
8 Commissioners and see if they have any follow-up
9 questions.

10 Commissioner Douglas, would you like to
11 start? Commissioner, you're on mute.

12 MS. GALLARDO: Commissioner Douglas,
13 you're muted.

14 COMMISSIONER DOUGLAS: All right. There
15 we go. I double muted myself, I was being extra
16 careful, and I only un-muted one.

17 So anyway, I want to thank all of the
18 panelists. And this is a really interesting
19 discussion.

20 I wanted to say, Katie, you know, thank
21 you for participating. And I know that you're
22 not on the DAC but we very much welcome the
23 perspective that you bring, and appreciate your
24 participation, and appreciate the questions that
25 you're asking.

1 We are, of course, at the Energy
2 Commission and the Public Utilities Commission
3 and across the state, working very hard to meet
4 our SB 100 goals. And that's the overall
5 umbrella that we're working within. And we're
6 also, as has been noted, working very hard to
7 make sure that we have in place what we need for
8 Summer 2021 and for transitioning our system
9 beyond that. And there's a wide suite of tools
10 that we can help bring to bear to do that.

11 And you know, when I first came on the
12 Commission, of course, we talked about the
13 loading order quite a lot. And that concept is
14 still very much there. You know, as we move
15 forward and we think about what does it take to
16 meet our reliability challenges, you know, of
17 course we're thinking about efficiency and we're
18 thinking about new clean generation and batteries
19 and all sorts of opportunities. And as you kind
20 of go down that list you hope that you don't get
21 to the diesel backup generators and the most
22 impactful options. And you certainly hope that
23 you don't get back to blackouts.

24 And so we -- you know, I certainly feel
25 as though we need to look at all options here as

1 we work to transition our system in a logical
2 way. But we also, obviously, we do have to look
3 hard at the cost and the tradeoff and where does
4 the investment of scarce resources go? And what
5 makes sense and what doesn't? And what's
6 achievable and what isn't? And so that
7 they're -- you asked a lot of good questions.

8 I think I guess my general question, you
9 know, I've heard a lot of really interesting
10 ideas today. Some seem, potentially, plausible
11 for helping us Summer or late Fall 2021. Some
12 seem longer term and maybe more amenable to
13 having, you know, a broader or more -- you know,
14 thinking about it without the time crunch that
15 we're under with anything we would think about
16 for, really, Summer 2021.

17 But just to ask the panel generally, you
18 know, what are some of the ideas and what are
19 some of the processes that seem most ready to
20 you, that seem to make the most sense in terms of
21 the economic tradeoff, in terms of the
22 achievability, in terms of maybe, you know, being
23 able to make a case pretty easily that a plant is
24 not going to increase its emissions, you know,
25 maybe be able to even decrease them? You know,

1 what does the panel see as some of the ideas that
2 (indiscernible) to maybe make a short list, so to
3 speak?

4 MS. RAMSEY: I can go ahead and take this
5 one, if nobody else wants to jump in?

6 MS. KITO: Sure.

7 MS. RAMSEY: Okay. So I know that we
8 talked a little bit about the peaker battery
9 hybridization. That seems, possibly, to have
10 some opportunities to decrease emissions. Like I
11 mentioned earlier, I still have questions about
12 whether the decreased emissions that SCE was able
13 to realize were due to their new emissions
14 control equipment versus batteries and, you know,
15 which -- where the response really -- or where
16 the credit for that goes? So that's one thing
17 that I think is easier for nearby communities to
18 be willing to accept than something that purely
19 just increases capacity without providing any
20 local benefits.

21 But at the same time what a lot of the
22 communities that I've worked with are asking for
23 are investments in cleaner alternatives to reduce
24 those emissions altogether. So at the forefront
25 where my clients and our membership are

1 interested in, they're looking for decreased
2 emissions, something that will improve the air
3 quality.

4 And then the other thing beyond that is
5 making sure that it's cost effective over the
6 lifespan of those improvements. If these
7 improvements are meant to improve emissions for
8 the next five years but that gas plant may or may
9 not be needed beyond the 2026 or 2030 or 2045
10 deadlines, keeping that lifespan in mind is very
11 important to make sure that you're paying off
12 those investments before those plants are
13 decreasing their output further. And so that's a
14 question that, I think, is important to ask in
15 reviewing each of these proposals. And I think
16 that some of those proposals fare better than
17 others.

18 COMMISSIONER DOUGLAS: Yeah. That makes
19 sense. And it's kind of an interesting balance
20 that, I'll say we but I think a lot of this goes
21 to rest at the PUC, and I know they work hard on
22 these questions. It's like, one hand, you don't
23 want the plants to leave while you still them
24 need and on the other hand, you don't want to pay
25 for them beyond when you expect to need them.

1 And so I think, you know, obviously, they do a
2 lot of hard work and through -- with
3 stakeholders, as well, to try to address that.

4 But I see a couple other panelists here.
5 Go ahead.

6 MS. VALAY-PAZ: Yeah. I just wanted to
7 chime in very quickly.

8 I think the challenges and the tension
9 that, I believe, Katie is referring to goes back
10 to what's the problem that we're trying to solve;
11 right? If it's the 2021 problem, then I think it
12 sends you down a path. I mean, yes, part of it
13 will be addressed with IRP Reliability RFO.

14 Michele talked about how none of the LSEs
15 have presented thus far, you know, expansion in
16 gas-fired generation. I mean, there was a
17 different focus. And I think part of it is
18 because people are not just procuring for 2021;
19 right? We're procuring for the long term. We're
20 procuring for the 2045, the 2030 goals, or
21 whatever.

22 So I think that we're pretty much aligned
23 on that. I think if we're trying to fix the
24 reliability, then it's where, you know, the
25 wheels over here start spinning and we start

1 trying to think about creative ideas that
2 contribute and really move the needle in system
3 reliability effectively, cost effectively. We're
4 not going to be, you know, reckless and just like
5 procure because we need to procure. There's all
6 these different provisions that we have in place.
7 And, obviously, we have a Commission that is very
8 focused on that, ensuring that, for example, from
9 the utility perspective, that we're procuring
10 based on the least cost/best fit, which is a
11 priority of us.

12 So I believe that practically speaking, I
13 think short term for us is 2021 and 2022.
14 Thinking about enhancements of current gas-fired
15 generation that's going to improve reliability,
16 that's going to reduce some of these ambient de-
17 rates, like the chillers, that is going to allow
18 us to maximize that interconnection capacity that
19 we have. We don't need further permits. If
20 there's interconnection capacity that we're not
21 able to maximize, that's one thing.

22 And then, second, if we really need to
23 have expedited procurement the challenge with
24 that, and I know this firsthand, running an RFO
25 takes time. And then on top of that, getting

1 approval takes time as well. So I think,
2 ultimately, that's where SDG&E, we came to the
3 table with, hey, can we leverage some of the due
4 diligence that we did in the IRP Reliability RFO
5 where we had identified resources that were not
6 viable per the timeline of the IRP Relationship
7 RFO but that could definitely help meet the needs
8 in 2021 and 2022 and still like being mindful of
9 all these different things that we're talking
10 about in terms of reliability, clean, and
11 affordability?

12 MR. IRWIN: Yeah. I just wanted to echo
13 those comments. I think Elsa has got it exactly
14 right which is if we're trying to solve '21, you
15 know, we've had some conversations recently, you
16 know, battery suppliers have no batteries for
17 '21. Even if you could find a developer that
18 could develop a project fast enough, which is
19 also extremely problematic now, there's no
20 battery supply. There is some supply in '22.
21 There are some projects capable of getting to
22 '22. But '21 in the battery space is close to
23 nonexistent. You can never say nonexistent but
24 you can say awfully close to nonexistent. And in
25 the gas space, there's a little bit of wiggle

1 room but not much.

2 And the good news, I think, from my
3 perspective is the places we have seen the
4 opportunities in the gas plants are, again, as I
5 said before, some of the newer plants that we
6 wouldn't expect. We'd expect them to be among
7 the last gas plants to retire.

8 VICE CHAIR SCOTT: I have a follow-up
9 question for -- this is Vice Chair Scott. I'm
10 not sure where I am in your Hollywood Squares. I
11 had a follow-up question for Elsa, actually, on
12 the RFOs. And maybe if Mark or Scott or Katie
13 wants to weigh in, as well, I'd be happy to hear
14 that.

15 One of the questions that I have is if
16 you could give us a little bit more detail about
17 the RFOs that you're talking about? And I
18 have -- I kind of have two questions with that.

19 One is, and I'm kind of likening it to
20 the solicitations that we do at the Energy
21 Commission sometimes where you might have ten
22 projects that are amazing, they pass the score,
23 they meet everything we want them to do, but we
24 only have funding for five. And if we get extra
25 funding, you could kind of go down the list, and

1 those other projects also meet everything that we
2 were looking for in the first place. So it's not
3 as hard to kind of go back and brush that off to
4 pick those versus they have different
5 qualifications, different requirements. And so
6 now you can't really use that list because it
7 doesn't match what you're looking for.

8 So I guess it's kind of a two-pronged
9 question; right? Is it a list that these are
10 what we're looking for and you can kind of just
11 go right down it? Or is it a list that doesn't
12 quite meet what we're looking for and we would
13 need to add some tweaks or some other things to
14 be able to brush it off and use it in the way
15 that you're describing?

16 MS. VALAY-PAZ: Yeah. Thank you for your
17 question. The RFO that I'm specifically talking
18 about is actually -- was launched in the IRP
19 proceeding, so it's very targeted on addressing
20 the reliability, so the IRP Reliability RFO
21 online date, 2021, 2022, 2023.

22 So to your point, the fit of that RFO,
23 with what we're looking for, to meet the gap of -
24 - you know, like to avoid any issues, like in the
25 summer, it's like a very good fit, very well

1 aligned. And I believe that when I say that
2 there might be an opportunity to go back, you
3 could have -- we could have had a really good
4 resource that met the criteria, you check all the
5 boxes. Unfortunately, that particular resource
6 was not a good fit for, let's say, 2021 for that
7 particular RFO, but maybe it is a good fit for
8 the summer reliability event.

9 I'll say that some of the challenges that
10 we experienced with some of our -- it's ongoing,
11 so I want to be careful in terms of what I share,
12 but it was about like you have a very good
13 project. Unfortunately, you know, the viability,
14 it's not there because of are they going to
15 achieve full deliverability status from CAISO?
16 Is that a resource that you're going to be able
17 to claim for resource adequacy?

18 So, hopefully, that addresses your
19 question.

20 MR. IRWIN: Yeah. And just a follow-up
21 on that. So we ran our -- our reliability RFO, we
22 have the second leg of it almost complete, which
23 is our '22-23 projects. For our '21 projects, we
24 signed contracts in the spring. They were
25 submitted to the Commission. We already have

1 Commission approval. The projects that could
2 have done '21 are no longer able to because the
3 time has gone too long. We could have brought
4 more for '21 at the time.

5 MR. RANZAL: Yeah. And I would echo
6 similar comments. The solicitations that were
7 out there did have a targeted aspect of them.
8 And I would have to get that most of the folks
9 are, you know, continuing to have discussions
10 with folks. And if there is an opportunity that
11 it addresses something else, we're certainly not
12 ignoring that opportunity. But for the RFO that
13 exists, you know, it doesn't necessarily fit
14 there.

15 So I think you can go back to the list
16 and say, if there is another need where it could
17 be met, there, potentially, is an opportunity for
18 discussion. We're not ignoring that but it
19 doesn't necessarily happen in the RFO.

20 And one further comment on Commissioner
21 Douglas's earlier point, I think it was clearly
22 expressed this morning in this morning's panels,
23 the things that are already on the runway, you
24 know, and are moving forward and have made
25 progress are some of the things that are really

1 going to help address what's happening for the
2 summer of '21/22. So they've gone through
3 vetting, due diligence. They have made steps
4 forward. You know, were they planning to come
5 online in November of 2021 or January or February
6 of 2022 or whatever reason, you know? Is there a
7 discussion opportunity there to say is there a
8 chance for you to move that forward?

9 Because a lot of the work has already
10 been done, that acceleration effort, I think, is
11 another area that a lot of people are looking at
12 and having an open discussion and dialogue to try
13 to address, you know, this is already a good
14 project that meets a lot of the requirements
15 that's, ideally, addressing the needs that are
16 addressed in the SB 100 or SB 350 in any way,
17 shape or form, and are vetted through our normal
18 process, great. So I have a lot of those checks
19 already.

20 Now the one question is: Could we do it a
21 little bit earlier or for, you know, to Elsa's
22 point, for a larger size? That would help an
23 immediate need that sits in 2021 without
24 diverting your long-term plan, which is really
25 how a lot of us -- almost like how we think about

1 a lot of our planning activities; right? This is
2 certainly not, I think we're all aware, this is
3 certainly not an exercise of going onto Amazon
4 and picking what you want and it comes to your
5 house another day. It would be fantastic if it
6 did work that way but it does not.

7 And we're all aware of the, you know, the
8 activities that are required in order for us to
9 put these things in place. This is long-term
10 infrastructure planning and it does take time.
11 So when events like this happen we can accelerate
12 but there is a throttle to that that can only be
13 turned up or down so much, I guess, is a way to
14 say.

15 COMMISSIONER DOUGLAS: So I just wanted
16 to ask a follow-up on that point.

17 When it comes to acceleration, you know,
18 you know, we've certainly talked about that and
19 looked at it. And I was just wondering, are
20 there, you know, are there suggestions you have
21 for how the state can be helpful, how the Energy
22 Commission can be helpful as you work to get
23 those projects that are already in the pipeline,
24 as you mentioned, on the ground as soon as
25 possible? I mean, I know that a lot of this is

1 just about, you know, things that we really have
2 very little control over. You know, when you go
3 on Amazon and add something to your cart, I know
4 you just said that's not what you do, but you
5 know --

6 MR. RANZAL: Right.

7 COMMISSIONER DOUGLAS: -- I was just --
8 yeah. Any suggestions you have?

9 MR. RANZAL: I would actually argue that
10 I think the Commission and the ISO and the CPUC
11 (phonetic), to the extent necessary, have been
12 helpful thus far.

13 COMMISSIONER DOUGLAS: Um-hmm.

14 MR. RANZAL: You know, if we're engaging
15 in conversations and there's things that need to
16 happen, I think we're opening up dialogue, and
17 they've been receptive to it. And there's
18 clearly an understanding of the need from the
19 combined CEC, ISO, and CPUC regulators that the
20 summer of 2021 creates a concern, so I think that
21 they are trying to be as helpful as possible.

22 In terms of modifying existing process,
23 I'm not sure that I have a recommendation there
24 that says, well, if we did this it would cut it.
25 I don't have that at the tip of my tongue. But I

1 have seen a lot of assistance and proactive, very
2 open-minded, if we thought about it differently,
3 would that work in allowing us the opportunity to
4 ask those questions, have an open dialogue with
5 the regulators, and the developers where
6 necessary, to potentially come to conclusions
7 that are positive for the system?

8 COMMISSIONER DOUGLAS: That's great. I'm
9 glad --

10 MR. RANZAL: I'd be willing to do that.

11 COMMISSIONER DOUGLAS: -- to hear that.
12 I know that's the intent but it's good to hear
13 that that's manifesting.

14 MR. BARTRIDGE: Commissioner Randolph,
15 would you like to ask any questions, or Chair
16 Hochschild?

17 COMMISSIONER RANDOLPH: I'm trying to
18 think of questions that don't get into market
19 issues or into process issues, so I think I'm
20 just going to consume now for a while. I have
21 been fairly knee deep in all of this. And so I
22 really appreciate you all taking the time and
23 giving us some of the practical realities. And
24 I'm also pleased to hear that the lines of
25 communication are open with Staff of the various

1 entities so that we can do a lot of problem
2 solving.

3 So we have a lot of activity that we
4 anticipate coming in the Reliability OIR, and in
5 IRP, and in RA. So I am extremely optimistic
6 that we can unpack some of these challenges and
7 make it work.

8 MR. BARTRIDGE: Great.

9 Chair Hochschild, did you have a comment?
10 Okay.

11 Karen, with that -- Commissioner Douglas,
12 excuse me, I think we're right at about the time.
13 It's 2:39. We are going to move to public
14 comment if you have no other questions or
15 otherwise?

16 I just want to thank the --

17 COMMISSIONER DOUGLAS: I have no other
18 questions. Thank you. I don't see any other
19 Commissioners jumping to make any closing
20 comments but they -- okay.

21 VICE CHAIR SCOTT: Yeah. Just a thank
22 you to the panelists --

23 COMMISSIONER DOUGLAS: Yeah.

24 VICE CHAIR SCOTT: -- for an excellent
25 day.

1 COMMISSIONER DOUGLAS: Thanks.

2 MR. BARTRIDGE: Very good. And I echo my
3 thanks as well. We've had a great discussion all
4 day.

5 And let me just turn it over to Noemi and
6 let's go through some public comment.

7 MS. GALLARDO: Thanks Jim.

8 So hello again everybody. This is Noemi
9 Gallardo, the Energy Commission's Public Advisor.
10 Due to time constraints today's speakers will not
11 respond to questions asked during the public
12 comment period. But the questions and comments
13 will become part of the record. Commenters will
14 have up to three minutes to speak. And
15 organizations are limited to having one
16 representative speak on their behalf.

17 If you would like to make a comment, in
18 Zoom, click on the raise-hand icon. For those on
19 the phone, press star nine to raise your hand.
20 After we open your line, press star six to un-
21 mute. When you are called upon, please spell
22 your first and last name and state your
23 affiliation, if any, for the record, then begin
24 your comment.

25 So we do have a couple of hands raised so

1 far. First will be Andy Brown.

2 And, Andy, I remind you to please spell
3 your first and last name. Your line is open,
4 Andy. Feel free to un-mute and begin.

5 MR. BROWN: Hi. It's Andy Brown, A-N-D-Y
6 B-R-O-W-N. I'm with Ellison, Schneider, Harris &
7 Donlan. We help a number of folks, including
8 LSEs, and also generators. And one of the -- I'm
9 mostly just making a couple of observations, not
10 on behalf of any specific client at this point.

11 We heard this morning that, sort of in
12 response to the extensive heatwave event that
13 happened across the west that robbed a bunch of
14 capacity that otherwise would typically be
15 available to California, that the ISO is
16 suggesting that the planning reserve margin be
17 increased across the summer, some of those high-
18 demand months. And at the same time we're also
19 talking about what could happen with existing gas
20 resources that may be both towards the tail end
21 of their economic life but, also, running out of
22 existing contract.

23 And what I guess I'm foreseeing here is
24 an actual increase of scarcity of capacity if
25 there isn't a good runway for re-contracting and

1 improving these assets, including things like
2 converting some of the existing sites to these
3 hybrid configurations that may provide an
4 existing brownfield site that can still inject
5 energy and provide capacity with storage at very
6 low emission levels but have the existing and,
7 perhaps, enhanced gas resource there that can
8 provide longer-run capacity. Because a lot of
9 our resources that we rely on day in and day out
10 become unavailable during periods of high
11 pressure and high temperature that sits on the
12 state for a long period of time.

13 And so it becomes a question of what we
14 are trying to solve for. And one of those
15 questions is: Do we -- would we prefer to not see
16 emissions potentially occur and have blackouts
17 instead of do you have the resources around, try
18 to minimize the emissions by lowering the amount
19 of run hours, but have them available to operate
20 should, you know, these heat events, which I
21 think are expected to increase over time, occur
22 more often.

23 And then the last point I'll try to make
24 is, you know, really, for resources that are
25 coming off contact, I need to know the path for

1 re-contracting years ahead before the contracts
2 going to run out. Otherwise, the likelihood of
3 premature retirement or just the capacity not
4 being available to the system is high.

5 Thank you.

6 MS. GALLARDO: Thank you, Andy.

7 And now we'll have Michael Alcantar.

8 And, Michael, please re-spell your name
9 so that we have an accurate record. Your line is
10 now open. Please un-mute and begin.

11 MR. ALCANTAR: Thank you. Michael
12 Alcantar, A-L-C-A-N-T-A-R, on behalf of WSPA.

13 I just, I realize you're not going to
14 take questions this way, but it seems to me that
15 an implicit assumption in the comments made by
16 Mark Irwin and in the other procurement
17 representatives, it is very much focused on what
18 are we going to do to enhance over the three and
19 five and longer term periods of these resources?

20 But what still strikes me is the most
21 emergent issue, and I think this is what Andy
22 Brown just said, in part, addressing is you have
23 a large number of existing capacity resources,
24 existing efficient resources that are moving to
25 situations without contracts. Those facilities

1 will depart. They will retire prematurely. The
2 result of that premature loss is additive to the
3 problem we're trying to solve, near-term
4 (indiscernible) and longer-term (indiscernible).

5 I hope the path that the state wishes to
6 (indiscernible) than to worry about the five-year
7 contract that somebody wants because they want to
8 -- or seven-year or ten-year contract that a
9 (indiscernible) wants because they want to look
10 at retrofit upgrades versus simply looking at a
11 facility that's saying, I have major maintenance
12 scheduled, payment periods that are five years in
13 duration, and I'm not asking for the moon. I'm
14 asking just to continue to exist on my existing
15 contract with an extension that can be done
16 expeditiously and properly before you lose that
17 resource and you're starting over again. And I
18 know Mark Irwin is intimately familiar with the
19 number of projects in that category.

20 So thank you.

21 MS. GALLARDO: Thank you, Michael.

22 I do not see any other raised hands, so
23 let me folks another chance. So if you're on the
24 phone, press star nine to raise your hand. If
25 you're on the online platform, please click on

1 the raise-hand feature. And we'll give it a few
2 seconds, just in case people are shy and trying
3 to work up the courage to raise their hand.
4 Okay, it doesn't like anyone's raising their hand
5 now.

6 So I also remind folks that we welcome
7 written comments which are due by 5:00 p.m. on
8 December 16th. And to submit written comments
9 visit CEC's e-filing Docket Number 20-SIT-01
10 which links to the comment page for this docket.
11 On this slide we included links to where you can
12 visit to file comments electronically and where
13 to click to view all documents filed in this
14 docket. The workshop notice provides detailed
15 instructions on how to submit comments. I have
16 also put into the chat the information for you to
17 go to the link where you can file comments.

18 And with that, I'll turn it back to Jim.

19 MR. BARTRIDGE: Thanks Noemi.

20 Again, I just want to thank everyone for
21 a great workshop today, our panelists in the
22 afternoon, especially, bringing it all home for
23 us. I think there's a lot of opportunity to
24 continue these conversations going forward.

25 And I also thank everybody for their

1 patience with me over the last couple of weeks,
2 and all of the emails, especially over the
3 holiday week.

4 So with that, I'll just turn it back to
5 Commissioner Douglas and ask if she or any of the
6 other Commissioners would like to provide some
7 closing remarks? And, if not, we can close up the
8 workshop.

9 Thank you.

10 COMMISSIONER DOUGLAS: Hi. This is
11 Commissioner Douglas. No closing remarks for me.

12 Again, I want to thank all the
13 participants here today.

14 MR. BARTRIDGE: Very good.

15 Any other Commissioners for final
16 comments?

17 VICE CHAIR SCOTT: Nothing additional,
18 other than our thanks. This is Vice Chair Scott.

19 COMMISSIONER RANDOLPH: This is
20 Commissioner Randolph. Same here.

21 MR. BARTRIDGE: Very good. Okay. Well,
22 thank you everyone. I think we've had a great
23 workshop day, and a lot of good information out
24 here, and look forward to continuing these
25 conversations moving forward. So, again, thanks

1 for your time and attention and look forward to
2 working with you as we move forward to deal with
3 the reliability issues for 2021.

4 Thanks so much.

5 (The workshop concluded at 2:49 a.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 18th day of December, 2020.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

December 18, 2020