

**DOCKETED**

<b>Docket Number:</b>	19-AB-2127
<b>Project Title:</b>	Implementation of AB 2127 Electric Vehicle Charging Infrastructure Assessments
<b>TN #:</b>	236972
<b>Document Title:</b>	Transcript 02-05-21 re Commission Workshop AB 2127 Electric Vehicle Charging Infrastructure Assessment
<b>Description:</b>	N/A
<b>Filer:</b>	Patty Paul
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	3/4/2021 9:22:18 AM
<b>Docketed Date:</b>	3/4/2021

CALIFORNIA ENERGY COMMISSION

In the matter of:

Assembly Bill 2127 Electric ) Docket No. 19-AB-2127  
Vehicle Charging )  
Infrastructure Assessment )  
\_\_\_\_\_ )

COMMISSIONER WORKSHOP

AB 2127 ELECTRIC VEHICLE CHARGING  
INFRASTRUCTURE ASSESSMENT

REMOTE VIA ZOOM

FRIDAY, FEBRUARY 5, 2021

1:00 P.M.

Reported by:

Peter Petty

APPEARANCES

COMMISSIONER

Patricia Monahan, Lead Commissioner on Transportation

CEC STAFF

Raja Ramesh, Air Pollution Specialist

Noel Crisostomo, Air Pollution Specialist

Micah Wofford, Associate Energy Specialist

Jeffrey Lu, Air Pollution Specialist

Larry Rillera, Air Pollution Specialist

PUBLIC COMMENT

Dean Taylor

Steve Davis

Ray Pingle, Sierra Club California

Kristian Corby, CalETC

Robert Perry

Erick Karlen, Greenlots

Margarita Parra, Clean Energy Works

Stephanie McGreevy, Open Energy Alliance

Bob Coale, Gladstein, Neandross & Associates

Andrew Larkins, Sygensys

Shiba Bhowmik, Sinewatts, Inc.

INDEX

	Page
1. Opening Remarks	4
2. EVSE Deployment and Grid Evaluation	7
3. Vehicle-Grid Integration	21
4. Connector and Communications Standards	38
5. Tailoring Charging Solutions to Local Constraints	85
6. Workforce Training and Development	92
7. Questions and Answers	97
8. Closing Remarks	120
Adjourn	121

1

P R O C E E D I N G S

2

1:01 P.M.

3

1 FRIDAY, FEBRUARY 5, 2021

2 MR. RAMESH: All right. So once again,  
3 welcome to the Assembly Bill 2127 Electric  
4 Vehicle Charging Infrastructure Assessment Lead  
5 Commissioner Workshop. This meeting is being  
6 held on Zoom and will be recorded virtually and  
7 by the Court Reporter.

8 We have a lot of content to share with  
9 you all from the latter part of the Assembly Bill  
10 2127 Staff Report. And we're looking forward to  
11 hearing your feedback. We'll be monitoring the  
12 question and answer box throughout, as well as  
13 taking questions at the midpoint and at the end  
14 of the workshop orally using the raise-hand  
15 function.

16 With those introductory remarks, I'd like  
17 to hand it over to Commissioner Monahan for any  
18 opening remarks.

19 Thanks.

20 COMMISSIONER MONAHAN: Thanks Raja.

21 Well, good afternoon everybody. Welcome  
22 to the second day of our AB 2127 EV Charging  
23 Infrastructure Assessment. And this is, as I  
24 said yesterday, really critically important to  
25 the State of California, as we embark on

1 electrifying transportation, we want to make sure  
2 that there is enough ZEV infrastructure, zero-  
3 emission vehicle infrastructure to meet the needs  
4 of all Californians. So that means not just  
5 passenger vehicles but, also, medium- and heavy-  
6 duty vehicles and off-road.

7           I would say, in terms of our  
8 understanding, of course, passenger vehicle  
9 market is ahead. Then we know a little bit less,  
10 but still a fair amount, about medium- and heavy-  
11 duty charging. And then off-road is the one  
12 where we're learning.

13           And we're going to be doing this  
14 assessment every two years, so there's -- I think  
15 you'll see an evolution in how the team is  
16 thinking about doing this analysis, and also  
17 looking forward to what we can do in the future  
18 in future reports.

19           So I feel, you know, really, really proud  
20 of the team for all they've done in pulling  
21 together the AB 2127 Draft Assessment, really  
22 looking to -- forward to feedback. The report  
23 itself has data through 2030 and it includes not  
24 just the targets that were set under the Brown  
25 Administration, 5 million EVs by 2030, but also

1 the implications of the new ZEV executive order  
2 which ARB estimates will lead to about 8 million  
3 ZEVs on the road by 2030.

4           So the team has also looked forward to  
5 2035. That's when the Governor's ZEV E.O. kicks  
6 into gear, especially for the passenger vehicle  
7 segment when all new passenger vehicles must be  
8 electric, according to the targets set for the  
9 Governor's executive order.

10           So this is really a bedrock analysis.  
11 And your feedback and your comments just will  
12 help us make it better, so the team is listening  
13 intently to all the feedback that we're getting,  
14 both through these workshops and also through  
15 written comments. But I just encourage everyone  
16 to participate and to gives us your best input.  
17 And we are listening and we'll come out with the  
18 best report that we can.

19           So with that, I'm just going to turn it  
20 back over to Raja to kick off the day.

21           MR. RAMESH: Great. Thanks so much,  
22 Commissioner Monahan. Okay. So thanks again for  
23 the opening remarks.

24           First we'll have Micah Wofford giving a  
25 presentation on EVSE Deployment and Grid

1 Evaluation tool, or EDGE. This will be followed  
2 by Noel Crisostomo giving a presentation on  
3 Vehicle-Grid Integration, also featuring some of  
4 the load profiles from the analysis presented  
5 yesterday. Then we'll have a presentation from  
6 Jeffrey Lu on Connector and Communication  
7 Standards. This will be followed by a question  
8 and answer session, after which we'll hold a  
9 break for five minutes.

10           When we return I'll speak on Tailoring  
11 Charging Solutions to Local Constraints. And  
12 then Larry Rillera will speak on Workforce  
13 Training and Development. We'll have our final  
14 question and answer session. Commissioner  
15 Monahan will give some closing remarks. And then  
16 we'll adjourn at 3:30. Thanks.

17           Whenever you're ready, Micah.

18           MR. WOFFORD: All right. Thank you,  
19 Raja. Can you hear me?

20           MR. RAMESH: Yes.

21           MR. WOFFORD: Good. Good. Well, happy  
22 Friday everybody and thank you for joining us for  
23 the second session today. My name is Micah  
24 Wofford and I'm an Associate Energy Specialist in  
25 the Transportation Planning Analysis Unit at the

1 CEC. I'm leading the development of the EVSE  
2 Deployment and Grid Evaluation tool, otherwise  
3 known as EDGE, on which I'll be presenting today.

4 Next slide please.

5 So here's a brief overview of the  
6 presentation. I'll briefly provide some context  
7 in the form of background and purpose, as well as  
8 stating the objectives of this work. Then I'll  
9 cover the design choices of the model by  
10 outlining data sources, EDGE's basic structure,  
11 relationships to other analyses, and the  
12 allocation methodology. Next, I'll showcase some  
13 of the results that have come out of the work  
14 done by EDGE, first in the form of statewide  
15 analysis, and also done in a case study done in  
16 conjunction with the EVI-RoadTrip model. And  
17 then, finally, I'll conclude by discussing  
18 limitations, future work, and a call for  
19 stakeholder engagement.

20 Next slide please.

21 As you know, through Assembly Bill 2127,  
22 the CEC is tasked with assessing the charging  
23 infrastructure needed to support California's  
24 goal of having 5 million ZEVs on the road by  
25 2030. In order to properly distribute those

1 vehicle chargers, it is important to identify  
2 geographic locations that can sufficiently and  
3 economically host them. Therefore, the EDGE tool  
4 is designed to act as an early warning system of  
5 sorts by helping users to focus infrastructure  
6 deployment and plan associated investments.

7           In terms of grid planning, this could  
8 involve pinpointing areas which may require  
9 special attention, such as distribution grid  
10 upgrades, in order to host the charging  
11 infrastructure that is projected to exist there.  
12 This is a highly iterative process which requires  
13 ongoing analysis in order to properly support  
14 California's transportation electrification  
15 targets.

16           Next slide please.

17           To illustrate this point the image on the  
18 left of the slide is a depiction of an analytical  
19 process flow that is needed to generate insight  
20 and provide direction to the market so that we  
21 can sufficiently -- successfully deploy  
22 sufficient infrastructure for everybody. Using  
23 data from several sources, EDGE seeks to address  
24 four distinct goals: minimize and mitigate the  
25 impacts of charging to the electric grid; achieve

1 air quality improvement targets; meet EV travel  
2 demands in California; and ensure that EV  
3 charging infrastructure is deployed in an  
4 equitable fashion throughout the state.

5           This initial phase of EDGE development  
6 focused primarily on distribution grid analysis.  
7 However, future iterations of analysis through  
8 EDGE will include a total of four conceptual  
9 domains of study, and those are grid impact, air  
10 quality, travel demand, and equity  
11 considerations.

12           Next slide please.

13           The charging infrastructure  
14 quantification results that output from both the  
15 EVI-Pro 2 and HEVI-LOAD models will be used as a  
16 foundational layer upon which other data and  
17 analyses will be built. EDGE will provide a  
18 basis for users to view progress to  
19 infrastructure-related policy goals,  
20 strategically target deployment solutions, and  
21 focus investment efforts. The domains I  
22 mentioned in the last slide are separated here,  
23 showing some of the datasets that fit within  
24 each.

25           EDGE currently uses data from the

1 Investor-Owned Utilities' Integration Capacity  
2 Analyses and a Grid Needs Assessment Work to  
3 analyze the capability of the electric grid to  
4 incorporate increased EV charging load.

5 We also plan to work with the Energy  
6 Assessment Division in the CEC to incorporate  
7 their GHG emission factor work into the tool to  
8 assess air quality improvement strategies. EAD,  
9 or the Energy Assessment Division, also has a  
10 great database of zero-emission vehicle and  
11 infrastructure statistics which is planned for  
12 EDGE integration.

13 And finally, both the CEC's SB 1000  
14 disproportionality analysis and the Location  
15 Affordability Index data will factor into studies  
16 within the equity domain.

17 Next slide please.

18 This is a visualization of the tool's  
19 overall framework. Data are input into EDGE for  
20 processing and combination. Resultant outputs  
21 are then viewable using EDGE's geospatial domains  
22 as filters or lenses. The table on the right  
23 lists the relationships between the domains in  
24 terms of units of geospatial resolution. EDGE  
25 notably targets the traffic analysis zone, or

1 TAZ, as the smallest unit of resolution for most  
2 domains. However, not all data share the same  
3 resolution. Units in the same color in this  
4 graphic tend to fit nicely into each other. This  
5 table provides a glimpse at an important barrier  
6 that exists within all of the data in EDGE.

7           Although some domains have the capability  
8 of sharing spatial units, the data are generally  
9 not commutable across domains, meaning it isn't  
10 easy to convert between sets to view meaningful  
11 correlations. Therefore, as a result,  
12 statistical analysis of the physical  
13 characteristics of each domain is required before  
14 invoking EDGE's inherent algorithm.

15           Now for the rest of this presentation  
16 I'll be speaking exclusively to the grid domain.

17           Next slide please.

18           This graphic shows relationships between  
19 several different EV infrastructure models and  
20 forecasting work. Starting from the top left,  
21 the California Air Resources Board's work on  
22 their Mobile Source Strategy feeds into the HEVI-  
23 LOAD model. The CEC's ongoing IEPR work  
24 influences both the EVI-Pro 2 and HEVI-LOAD  
25 models. IEPR data is also factored into the

1 Utilities' Distribution Planning Working Groups  
2 which finalize the ICA and GNA disaggregation  
3 methods and load growth demand forecasting.  
4 The infrastructure quantification outputs from  
5 EVI-Pro 2 and HEVI-LOAD are input into EDGE, as  
6 well as the distribution capacity data from both  
7 the ICA and the GNA utility work.

8           Notably, as this infrastructure  
9 assessment is ongoing and iterative, EDGE will  
10 provide an important feedback loop into the CEC's  
11 infrastructure models and, hopefully, also  
12 influence future iterations of planning within  
13 the Distribution Working Groups.

14           Next slide please.

15           So now we'll talk about the methodology  
16 used to determine regional grid hosting capacity.

17           First, EDGE inserts the charging  
18 quantities from EVI-Pro 2 and HEVI-LOAD and  
19 layers the utility distribution grid circuit data  
20 on top of it. Note that in this example we are  
21 not yet using actual CEC analysis results but,  
22 instead, I'm just using charger data sourced from  
23 the Alternative Fuels Data Center to illustrate  
24 this scenario.

25           Next slide please.

1           Next, EDGE inputs geospatial boundaries  
2 of interest, in this case the shapes representing  
3 TAZ boundaries. The circuits are separated or  
4 cut along the boundaries of the TAZs, and then  
5 pieces that sit inside their respective TAZ then  
6 have their capacity summed upon a TAZ-wise basis.  
7 The load contribution from the vehicle chargers  
8 is also aggregated to the TAZ level.

9           Next slide please.

10           Finally, when comparing the aggregate  
11 load contribution from EVI-Pro 2 and HEVI-LOAD  
12 results to the allocated TAZ grid capacities,  
13 EDGE will identify TAZs that don't have  
14 sufficient capacity to support those chargers by  
15 specifying a net capacity deficit. The goal for  
16 this concept is to help users focus  
17 infrastructure deployment strategies to areas  
18 that can handle expected load from the chargers.  
19 At the same time, this information could help  
20 utilities by identifying areas that may need  
21 improvement in order to support the expected  
22 charging.

23           I'd also like to point out that we  
24 haven't yet made any decisions on where to place  
25 chargers based on this analysis but we are still

1 actively developing the tool.

2 Next slide please.

3 So these two images show different views  
4 of the same data. The left image shows ICA  
5 datasets for the three largest IOUs, that's PG&E,  
6 SCE, and SDG&E. In this case, the ICA data are  
7 still in their rawest form of circuit lines. On  
8 the right-hand side, this image shows the same  
9 capacity data, just allocated to TAZs throughout  
10 California using the methodology explained in the  
11 previous few slides. Both images show sections  
12 with hashed lines which represent areas where  
13 there are gaps in the grid data. We currently  
14 lack sufficient data for publicly-owned  
15 utilities, as well as other IOUs that aren't  
16 shown here. This highlights an important  
17 opportunity for improvement and collaboration  
18 with more California utilities.

19 Another item of interest here is how TAZs  
20 are situated in relation to the utilities. Since  
21 TAZs don't fit cleanly into the shapes of the  
22 utility territories, and since we don't have  
23 adequate data to span the entirety of  
24 California's electric grid, some TAZs may  
25 currently have incorrect values associated with

1 them.

2           Next slide please.

3           This is another view of the ICA capacity  
4 distribution. The histogram on the right shows a  
5 breakdown of the additional load that can be  
6 integrated on circuits within each IOU territory.  
7 Again, these results are based on the available  
8 ICA data. As you can see, based on these data,  
9 over 70 percent of circuits for both Edison and  
10 San Diego have zero or less capacity to bear  
11 additional load. The same is true for 30 percent  
12 of PG&E circuits as well.

13           Based on conversations with the IOUs,  
14 these results may not accurately reflect the true  
15 state of the grid and that the zero-capacity  
16 deficiency should be closer to 25 percent.  
17 However, the underlying issue sits within the  
18 framework by which the data are validated.

19           As a step in the right direction the  
20 Public Utilities Commission recently established  
21 a process to improve the IOU uniform load  
22 analysis in order to provide more useful results  
23 for customers looking to interconnect more load.  
24 Future EDGE analysis will seek to integrate those  
25 improved ICA results.

1           Next slide please.

2           As part of the EVI-RoadTrip study being  
3 conducted by our partners at the National  
4 Renewable Energy Laboratory, a case study was  
5 done using functionality from EDGE. For those of  
6 you who weren't able to attend yesterday's  
7 session and hear about it, EVI-RoadTrip is a  
8 model focused exclusively on simulating the  
9 network of chargers necessary to support long-  
10 distance inter-regional electrified road trips.  
11 Unlike EVI-Pro 2 which is built upon destination  
12 charging, EVI-RoadTrip assess waypoint charging  
13 in which vehicles stop to charge on the way to  
14 their destination.

15           On this slide we see a collection of TAZs  
16 where at least some portion of them overlap  
17 within Edison's territory. These results are  
18 based on comparison of Edison's ICA capacity data  
19 with overall load contributions from EVI-  
20 RoadTrip's simulated charging stations. This  
21 case study shows some areas within Edison's  
22 territory where insufficient capacity exists. In  
23 order to accommodate expected load growth from  
24 EVI infrastructure projections, areas with a net-  
25 positive capacity deficit may require grid

1 upgrades. However, the overall results from this  
2 study show that current grid capacity should be  
3 able to support charging demand from the road  
4 trips simulated in the model.

5           Next slide please.

6           So there are several places within the  
7 capacity map where there just weren't enough data  
8 to compose a complete picture. Based on the way  
9 that the TAZ geographies are situated and their  
10 relationship to the physical presence of the  
11 utility circuit lines, there are multiple cases  
12 where incorrect inferences are possible.

13           For example, if a large TAZ contains only  
14 a small amount of circuits with available data,  
15 then only the capacity values from those circuits  
16 will be summed into the TAZ, thus yielding an  
17 incomplete output. So by having access to data  
18 from more utilities, this analysis can produce a  
19 more accurate value, thus improving the overall  
20 result.

21           Second, the utility ICA data provide only  
22 a snapshot of the grid conditions at the time  
23 that the utility analysis was conducted.  
24 Therefore, as this is the first rendition of EDGE  
25 analysis, and it only included the ICA data, and

1 there is no current -- there is currently no  
2 time-dependent aspect of the results. The  
3 integrity of the available utility data has been  
4 an ongoing concern as well. There is currently  
5 no way for a user to validate whether the data  
6 accurately reflect real-world grid conditions  
7 since these are the only accessible sources of  
8 that information. The data must be taken at face  
9 value at this point.

10           Confidential information protection  
11 standards exist across all utility data layers at  
12 the expense of analytical granularity. To  
13 protect sensitive information, utilities remove  
14 certain grid assets from public view which can  
15 create anomalous GIS modeling artifacts that  
16 could adversely alter the results of impact  
17 analyses, such as EDGE.

18           So what is next for the tool?

19           Future iterations of EDGE will strive to  
20 include GNA and DDOR datasets into grid impact  
21 modeling in order to add a temporal forecasting  
22 component. This is a notable change from earlier  
23 EDGE development based on our conversations with  
24 utilities.

25           Other conceptual domains of study and

1 their relational connections will be explored in  
2 order to focus on the remaining goals and  
3 barriers that EDGE hopes to address. Stemming  
4 from those relationships, specific uses cases  
5 will be developed to craft unique scenarios and  
6 solutions to specific objectives and issues.

7           Next slide please.

8           And so to continue the development  
9 process of EDGE and recurrently improve upon its  
10 design, we welcome stakeholder input on a number  
11 of items.

12           What additional data sources exist that  
13 could inform travel volumes between origins and  
14 destinations or provide grid capacity estimation  
15 and validation?

16           We also seek feedback on the types of use  
17 cases we are planning to incorporate. Among  
18 others, these could be smart charging, air  
19 quality attainment, carbon emission intensity,  
20 and equitable infrastructure deployment.

21           As this tool will eventually be made  
22 publicly available, how can the user interface be  
23 designed in such a way that would be most user  
24 friendly?

25           The utility data going into this model is

1 critical in allowing accurate analysis of  
2 regional grid conditions and the ability to host  
3 expected new EV charging load. Therefore, how  
4 can the CEC work with utilities best to ensure  
5 that the proper data are being used for this  
6 work? How can we look at these data in a more  
7 productive manner? Gaining access to certain  
8 data, for example, commercial customer  
9 information, can help us identify where there are  
10 likely opportunities for charging and allow us to  
11 provide a more finely-resolved analysis.

12           Finally, how can we secure the grid data  
13 going into this tool?

14           This concludes my presentation. Thank  
15 you very much for listening. I'm happy to take  
16 questions later during the Q&A session.

17           MR. RAMESH: Thanks Micah.

18           Next we'll move to Noel's presentation on  
19 Vehicle-Grid Integration.

20           MR. CRISOSTOMO: Hi everyone. My name is  
21 Noel Crisostomo and I lead VGI Technology and  
22 Policy Analysis for the Fuels and Transportation  
23 Division.

24           VGI represents the vital link between the  
25 infrastructure quantification models described

1 yesterday and the capabilities of the state's  
2 electrical systems that Micah just captured with  
3 EDGE. Our efforts in this arena have  
4 implications that span the Energy Commission's  
5 preparations for a clean energy future from  
6 encouraging charging away from peak, to reducing  
7 resource adequacy costs, to adding storage  
8 capacity that supports SB 100's clean energy  
9 targets, to helping customers weather public  
10 safety power shutoffs.

11 I think of our current VGI efforts in  
12 transportation electrification as being akin to  
13 the state's commitment to energy efficiency to  
14 meet the demand growth amidst the energy crises  
15 of the 1970s. To elaborate, VGI is foundational  
16 to achieving our EV charging infrastructure goals  
17 timely, cleanly, and cost effectively for  
18 everyone.

19 On the next slide, I'll review how AB  
20 2127 approaches this opportunity. First, I'll  
21 profile how charging may manifest its load and  
22 its possible impacts to grid operations with  
23 examples from EVI-Pro 2, EVI-RoadTrip and HEVI-  
24 LOAD, including some new figures generated since  
25 publication. Second, given these load profiles,

1 I'll explain the proactive planning, economic,  
2 and technology measures that the state could  
3 employ with automaker, charging, and utility  
4 partners to optimize where, when -- where and  
5 when customers get the electricity they need for  
6 mobility.

7           Next slide.

8           The first and most detailed load profile  
9 comes from EVI-Pro 2. This load profile featured  
10 in the report implemented, as a post-processing  
11 step, an aggressive adoption of residential time-  
12 of-use rates in which commuting load is timed to  
13 charge at midnight -- start at midnight, in line  
14 with common educational messages to EV drivers.  
15 Thanks to a utility data response from last  
16 month, we are working on a smart charging  
17 analysis that incorporates a variety of off-peak  
18 hours, including those that might occur during  
19 the midday.

20           However, today, we highlight the midnight  
21 TOU case as an indicator of the effect of a  
22 simultaneous class-wide response to a price  
23 signal. Commonly referred to as a timer spike,  
24 the surge in load may pose an overloading risk to  
25 transformers, causing a sag in voltage along the

1 secondary distribution system, especially if EVs  
2 continue to be adopted within neighborhood  
3 clusters. With the repeated nightly surges,  
4 particularly considering building  
5 electrification, it became apparent that a more  
6 intelligent management scheme, shown on the next  
7 slide, was necessary.

8           In this new 2035 profile, EVI-Pro 2  
9 implements a two-stage control strategy for  
10 residential customers as it solves for the  
11 charging supply. First, it includes most  
12 investor-owned utility and large publicly-owned  
13 utility residential customers participating in  
14 TOU rates which, again, are scheduled with lower  
15 prices at midnight. Some drivers choose to  
16 switch to high-capacity Level 2 chargers to  
17 acquire their needed energy within the shorter  
18 yet less expensive time period.

19           However, initiating -- instead of  
20 initiating charging at midnight, drivers must  
21 complete their charge by their departure time.  
22 This allows for a more gradual distribution of  
23 the load which offers a sinusoidal shape that  
24 dovetails with the other -- with other drivers  
25 beginning their day and demanding nonresidential

1 charging, like at work.

2           EVI-Pro 2 decreases residential charging  
3 access as more drivers use EVs. And these  
4 drivers for workplace charging first, then in  
5 accordance with surveyed -- drivers surveyed and  
6 their desire for speed, public fast charging,  
7 then public Level 2 charging.

8           We were surprised by the relative demand  
9 at workplaces. But the national and California  
10 surveys upon which the travel demands are based  
11 highlight that at noon only about a third of the  
12 fleet is parked at work.

13           Fast charging ramps up beginning at 7:00  
14 a.m. and undulates intra-hourly until 7:00 p.m.,  
15 although actual demand may not be as spiky as  
16 it's illustrated, which is an effect of drivers  
17 rounding their itinerary inputs to the survey.  
18 To smooth this effect, on the next slide, NREL  
19 applied a Sovitsky-Golay filter to smooth these  
20 surges.

21           While DCFC demand is less pronounced,  
22 when overlaid with the other charging curves the  
23 DC fast charge demand still waivers between 3 and  
24 5 gigawatts between 7:00 a.m. and 7:00 p.m.  
25 Reinforcements to the secondary distribution

1 system will be needed to support these intra-hour  
2 surges and demand, especially at the site level,  
3 which I'll describe more during the RoadTrip  
4 section.

5           While we continue to analyze and refine  
6 these curves overall, the combined effect of  
7 smarter residential charging and more public  
8 charging results in a better alignment with  
9 morning solar energy and a relatively lower peak-  
10 time charging, especially compared to other  
11 scenarios examined on the next slide.

12           We examined four alternative futures for  
13 2030 beyond the residential TOU and departure  
14 time-based charge schedules that I just featured.  
15 Each altered a single behavior, key assumption,  
16 or a charging option that Matt described  
17 yesterday. These each quantify the various  
18 effects of visions for the future that we  
19 discussed in detail. I'll focus on the effects  
20 of the four scenarios on the grid, instead of the  
21 network, starting with the next slide with what  
22 could happen without rate signals.

23           Stakeholders familiar with our work on  
24 EVI-Pro 1 in 2018 and preliminary results from  
25 August will recognize this profile to result if

1 commuters plug in and initiate charging upon  
2 returning home, unconstrained by price  
3 incentives. This residential evening peak,  
4 combined with midday and evening work and evening  
5 public Level 2 charging and surges of DC fast  
6 charging, was dubbed the "dragon curve" in order  
7 to encourage efforts to tame the load. Of the  
8 alternative futures we analyzed, this  
9 unconstrained profile has the largest  
10 contribution to peak in 2030 with 3.5 gigawatts  
11 at around 7:00 p.m. On the next slide we  
12 reinstate TOU rates at midnight.

13           But the gas station model examines a  
14 future where among the 5 million ZEVs by 2030,  
15 only 40 percent of drivers have access to  
16 charging at home, instead of the 72 percent that  
17 Matt described.

18           In lieu of charging being installed at  
19 homes, charging is provided at work and at public  
20 chargers which represent a net increase in the  
21 network of 14,000 chargers. Charging at home  
22 is -- charging at home and fast charging during  
23 the day and evening result in a peak loading of  
24 about 1 gigawatt less than the uncontrolled  
25 scenario and is approximately equal to the BAU

1 scenarios, the first two that I described. The  
2 next slide contrasts with this gas station  
3 future.

4           Enabling Level 1 charging at work and  
5 public sites replaces 360,000 Level 2 stations  
6 with 620,000 Level 1 stations. We're still  
7 examining how charging speed trades off with the  
8 size of the network as this would be a net  
9 addition of 250,000 chargers, or 35 percent, and  
10 implicates the construction of tens of thousands  
11 of additional stations.

12           Similar to the midnight TOU scenario,  
13 daytime demand remains relatively flat with 2  
14 gigawatts of peak loading at around 7:00 p.m.

15           The next slide is our final alternative  
16 future for light-duty vehicles. Here, plug-in  
17 hybrid electric vehicles are required to charge  
18 at all workplace and public Level 2  
19 opportunities. However, despite growing the  
20 network by over 100,000 chargers, maximizing  
21 electric vehicle miles traveled only serves about  
22 five percent more kilowatt hours than the BAU  
23 scenarios.

24           I'll note that this does not represent an  
25 "EV happy hour" scenario where load en masse is

1 shifted from residential locations to  
2 nonresidential locations. This EV happy hour  
3 scenario is still in progress. Instead, this  
4 future demonstrates the limits of the additional  
5 watt hours that could be served by nonresidential  
6 Level 2 locations after drivers get most of their  
7 charge at home. Further analysis will analyze  
8 the tradeoffs here. But this scenario has peak  
9 load of around 2.5 gigawatts, which is nearly  
10 equivalent to the TOU and gas station futures.

11           The slide features load from EVI-  
12 RoadTrip. RoadTrip solves for a subset of DC  
13 fast charging for light-duty vehicles traveling  
14 more than 100 miles across regions. This load  
15 profile is more sinusoidal than the intra-hour  
16 travel charging patterns which represents some  
17 alignment with solar energy, but this is not  
18 exact. We examined the load by varying the state  
19 of charge in which the travelers unplug their EV  
20 and continued upon their journey. Across both  
21 behaviors, charging during the peak time of 7:00  
22 p.m. still represents over half of the maximum  
23 daily load.

24           We also examined the RoadTrip load  
25 profiles to understand the possible benefit from

1 energy storage, acknowledging distribution  
2 impacts from high-power charging demand  
3 fluctuating within one hour. The behavior where  
4 drivers are always topping off, or ATO, to nearly  
5 a full state of charge results in almost twice  
6 the amount of variance and demand within a given  
7 hour. This is shown in the blue series in the  
8 lower graph. Most prominently in the 10:00 a.m.  
9 hour, demand jumps 50 megawatts, or a quarter of  
10 the total network demand. At the individual  
11 station level, this suggests that storage is more  
12 valuable for demand charge mitigation or voltage  
13 stabilization where people take elongated  
14 charging breaks.

15           On the next slide we profile charging  
16 from LBNL's HEVI-LOAD model. HEVI-LOAD, as  
17 described yesterday, is still in early  
18 development. So at this stage, rather than  
19 focusing on the peak profile, take note of the  
20 shape variations across the trucks, tractor-  
21 trailers, and transit applications and their  
22 relative growth over the decade. As described  
23 yesterday, the introduction of these vehicles  
24 across the state, in accordance with the Advanced  
25 Clean Trucks Rule and other emissions reduction

1 rules, will affect where and when grid upgrades  
2 are needed. We can estimate a need for several  
3 gigawatts of charging load for these vehicles by  
4 2030.

5           However, developing more realistic  
6 profiles below the transmission level requires  
7 incorporating additional behavioral and  
8 technology insights given the site specificity of  
9 these fleet operations. For example, acute  
10 upgrades at the substation level may be needed  
11 once individual connectors rated for several  
12 megawatts are completed. Of interest is the  
13 Megawatt Charging System that is undergoing tests  
14 at the National Renewable Energy Lab with the  
15 support the Clean Transportation Program.

16           With a wide range of grid conditions that  
17 could be posed over the next decade, the state,  
18 working with automakers, charging companies, and  
19 utilities will need to employ new tools to  
20 maintain their reliable, cost efficient, and low-  
21 carbon operation of the system. This is where,  
22 on the next slide, smart charging becomes  
23 essential.

24           Smart charging will ensure that  
25 transportation electrification is operated in a

1 way that maintains and improves reliability,  
2 reduces customers costs, and integrates  
3 renewables. There are two key parts to this  
4 equation, first, the objectives and associated  
5 price signals to motivate action.

6           Second, the actors and enabling  
7 equipment, or hardware and software as it's known  
8 in AB 2127. Utilities and the California  
9 Independent System Operator will have to manage  
10 the challenges of new charging load at the  
11 transmission and distribution levels which will,  
12 of course, vary geographically throughout  
13 California. Fortunately, markets and price  
14 signals can encourage charging to shift from the  
15 peak system demands to, instead, earlier in the  
16 morning or later in the evening.

17           Shown left, with a tariff from Southern  
18 California Edison, Edison employs a two-period  
19 TOU rate to shift demand, especially during the  
20 summer. In contrast, on the right, during  
21 spring, San Diego Gas and Electric has six  
22 periods to integrate renewables and to avoid peak  
23 loading. Beyond these currently available rates,  
24 the location and temporal granularity of prices  
25 may continue to become more specific with the

1 ongoing Load Management Standard rulemaking at  
2 the Energy Commission.

3           Balancing the complexity of grid  
4 operations while offering convenience and cost  
5 effective electric mobility is where  
6 manufacturers and network aggregators come in.  
7 Utilities, in theory, may send these price  
8 signals to charging systems directly using direct  
9 load control.

10           However, more commonly, and the perhaps  
11 more flexible approach, would appear to have EV  
12 charging signals be sent to EV service providers  
13 or automakers that coordinate responses to, for  
14 example, Open Automated Demand Response signals.  
15 Here, an aggregator could use equipment  
16 management protocols, like Open Charge Point  
17 Protocol, to the EVSE or, eventually, distributed  
18 energy resource protocols to a local energy  
19 management system if one is available at the  
20 site. This flexible networking design is  
21 scalable for any of the charging implementations  
22 that we described today, home, public, for  
23 passenger cars, or at depots for medium- and  
24 heavy-duty vehicles.

25           To maximize the foresight of customers'

1 energy and departure presentation, implementing a  
2 common and unique two-way communication between  
3 the charger and the vehicle is critical. As  
4 Jeffrey will describe, this Vehicle-To-Grid  
5 communication interface, which is being  
6 implemented by the majority of the automakers as  
7 part of the Combined Charging System, will help  
8 customers get the electricity that they need in a  
9 way that is grid friendly and, therefore, least  
10 cost.

11           You might be asking, why is Vehicle-To-  
12 Grid communications important? And isn't that  
13 technology always five years away? On the next  
14 slide, I illustrate why we must harness the  
15 gigawatts of mobile energy storage to increase  
16 energy resiliency as soon as possible.

17           As everyone is well familiar, last  
18 August's extreme heatwave across the West posed  
19 resource challenges to California's electricity  
20 system. By the end of the month, two-thirds of  
21 the portable gasoline generators, less than 18  
22 kilowatts, hosted online by Home Depot were sold  
23 out. The following week, with skies gray or  
24 orange in the Bay Area, with the sun occluded by  
25 wildfire smoke, shown on the left, CAISO's

1 Outlook reported a 37 percent reduction in solar  
2 generation.

3           Like prior years in which Public Safety  
4 Power Shutoffs induced stories of customers  
5 yearning for electricity, including some who jury  
6 rigged their car's 12-volt batteries to  
7 refrigerators, not only is there increasing  
8 interest but there is an imminent need for zero-  
9 emission alternatives that are also extensible  
10 for other VGI applications. This demand for  
11 storage will only increase as the state commits  
12 to 100 percent clean energy, as illustrated by  
13 our colleagues' SB 100 Report.

14           While tapping your car's energy storage  
15 has been a niche use case for the past decade,  
16 more automakers, and a select few shown on the  
17 next slide, are outwardly describing their intent  
18 to offer bidirectional charging.

19           For example, Lucid Motors has described  
20 their Air to offer vehicle-to-home during  
21 outages, and during daily operations for vehicle-  
22 to-building services to offset commercial demand  
23 charges, especially when aggregated with other  
24 cars. Rivian, in 2019, described capabilities of  
25 vehicle-to-vehicle charging. Similarly, Ford is

1 actively advertising on television the current F-  
2 150's capability for vehicle-to-load which ranges  
3 up to 7 kilowatts of capacity, enough to power a  
4 mobile metal shop, for example.

5           During last week's Staff workshop, we  
6 heard these automakers, and five other  
7 manufacturers, highlight the growing potential  
8 for bidirectional charging as batteries become  
9 more energetic for less cost and more intelligent  
10 in order to protect their driver's mobility and  
11 the vehicle's warranty. So while OEMs continue  
12 to surmount technology challenges, the next slide  
13 highlights the need for ongoing assistance by the  
14 state to commercialize V2G.

15           First, the state needs to support  
16 bidirectional charging by confirming  
17 administrative pathways for inverters designed  
18 for mobile energy storage. The CPUC's Rule 21  
19 decision from September identified procedures for  
20 interconnect DC V2G chargers and plans to pilot  
21 AC V2G while automotive and electrical technology  
22 standards harmonize.

23           First-of-their-kind projects that seek to  
24 open this unlocked door have raised to us a  
25 potential to leverage the Energy Commission's

1 Solar Equipment List to validate the grid and  
2 safety functions of bidirectional charging and  
3 interconnects more quickly. We'd like to  
4 understand if that option, or some other  
5 mechanism, will be useful to assist developers'  
6 efforts as we prepare for future summers.

7           Second, the state needs to unlock greater  
8 value or revenue-generating options for  
9 bidirectional charging to assist with the range  
10 of reliability services I've outlined earlier.  
11 For example, last week, manufacturers echoed the  
12 need for longer-term market opportunities to  
13 alleviate congestion or, if well orchestrated,  
14 even defer upgrades beyond the day-to-day  
15 operations that were the main focus of our scope.

16           And finally, to conclude, we want to  
17 acknowledge that AB 2127 serves chiefly as the  
18 CEC's charging infrastructure needs assessment  
19 and is not the main forum for VGI planning.  
20 However, as I began today, since this analysis is  
21 so foundational to understanding what's next for  
22 electric transportation, we will be coordinating  
23 this charging assessment with the ongoing draft  
24 of the VGI Roadmap due later this year.

25           Next, my colleague Jeffrey Lu will

1 describe our assessment of the equipment hardware  
2 and software that is necessary to realize this  
3 grid-integrated future.

4 Thank you for listening.

5 MR. LU: Hi everyone. This is Jeffrey  
6 Lu. I am Staff here at the CEC and one of the  
7 coauthors of this report. I am here to discuss  
8 our report's findings regarding charging  
9 connectors and communications. And I think  
10 maybe, first, it's helpful to talk about existing  
11 conditions.

12 Next slide.

13 Today, EV charging -- the EV charging  
14 experience is siloed. There are different  
15 connectors for different vehicles. And sometimes  
16 there are even different connectors for Level 2  
17 charging and fast charging on the same vehicle.  
18 On top of that, there are lots of charging  
19 networks, each with their own RFID keycards and  
20 their own apps or other authentication equipment.

21 Since there are currently multiple fast  
22 charging standards, drivers who need to find a  
23 fast charge not only have to identify a nearby  
24 fast charging station, but they also have to make  
25 sure that that particular station has a charger

1 with an available connector that's compatible  
2 with their particular vehicle. Now sometimes  
3 drivers can use connector adapters. But these  
4 often run hundreds of dollars and they're also  
5 not available for every connector in the market  
6 today.

7           Often times pulling up to a new charger  
8 on a network that you don't usually charge on  
9 requires another app download, meaning that a lot  
10 of drivers will just not utilize certain stations  
11 because they don't want to go through that  
12 hassle. These virtual walls which exist today  
13 are stifling the potential of the charges which  
14 are actually already out there.

15           Now, to the industry's credit, many EV  
16 service providers are entering roaming agreements  
17 to reduce this friction for their customers. But  
18 overall, when we step back and look at the  
19 charging experience today, charging is, at best,  
20 not maximally convenient, and it requires a  
21 notrivial level of baseline knowledge and  
22 investment from drivers. And at worst, it's  
23 actively confusing and discouraging, and it's  
24 holding back folks from switching to EVs.

25           I know some folks might be looking at

1 these rhetorical questions I have the screen and  
2 thinking, well, they're pretty basic questions.  
3 But these are actually real challenges that  
4 people face today.

5           A while ago I was hiking up at Point  
6 Reyes and a group of friends pulls up in a Model-  
7 S that they had rented for a road trip across  
8 Northern California. They had something like 30  
9 miles of range left, so they had navigated to the  
10 charging station at Bear Valley Visitor Center  
11 which has a couple of 1772 connectors there.  
12 They were surprised and frustrated to find out  
13 that the charger plug didn't fit in their  
14 vehicle. And when I suggested that they check  
15 whether or not their rental came with a 1772-to-  
16 Tesla adaptor, they had no idea what I was  
17 talking about. They weren't really sure what to  
18 do. So eventually I pulled up PlugShare and  
19 ended up suggesting that they head to a nearby  
20 hotel which had a Tesla destination charger. And  
21 I think they would have just like barely made it  
22 based on the range that they had.

23           Now this is just one anecdote but it  
24 illustrates how charging is not obvious to many  
25 people today. The folks in this anecdote, they

1 were not backwards people who, you know, refused  
2 to change with the times. They had gone out of  
3 their way to rent an electric Tesla for the road  
4 trip and yet they found charging confusing. And  
5 the experience probably left a bad taste in their  
6 mouth.

7           So as we look forward to deploying  
8 hundreds of thousands, if not millions, more  
9 chargers over the next ten years, it's not enough  
10 just to get chargers in the ground. We're  
11 working for the larger vision of decarbonizing  
12 California. And to get there, charging needs to  
13 be easier, smarter, and better than gassing up.  
14 This is entirely doable. And we're hoping to  
15 work with a lot of the folks who called in today  
16 to get there.

17           Next slide please.

18           I want to briefly touch on fast charging  
19 connectors that I mentioned earlier. There are  
20 currently three on the market today and they all  
21 do very similar things. Basically, they all  
22 deliver power to your battery on the order of 50  
23 to 300 kilowatts. Yesterday, Matt Alexander  
24 described our EVI-Pro 2 and EVI-RoadTrip models.  
25 And I want to reiterate that our models assume

1 that any car can charge with any charger. So  
2 continue fragmentation of fast charging  
3 connectors will necessitate even more chargers  
4 than what our models currently project. From a  
5 practical standpoint, this means that industry  
6 and government will have to pour money and more  
7 time into building a larger charging network but  
8 for no tangible benefit. We don't get any more  
9 electric miles enabled. We don't get any more  
10 emissions abated. And we don't get any  
11 additional air quality improvements.

12           Next slide.

13           Helpfully, however, I think the numbers  
14 suggest the market has decided on moving forward  
15 with standardization around CCS. An analysis  
16 from CARB late last year found that model year  
17 2022, 51 of 59 EV models expected to be available  
18 in California will use the CCS inlet for fast  
19 charging. Separately, CARB is also moving to  
20 introduce requirements under Advanced Clean Cars  
21 II to require that vehicles sold in California be  
22 equipped with the CCS inlet, or an adapter,  
23 starting with model year 2026. So the momentum  
24 is very clearly behind CCS.

25           Given this context the report calls for

1 the CEC to align technical requirements with both  
2 the market's direction and, also, CARB's pending  
3 regulatory actions. At the same time, we'll also  
4 be keeping an eye on supporting legacy connectors  
5 which are still on vehicles rolling around the  
6 state.

7           Next slide.

8           This is mostly a reiteration of some of  
9 the material I introduced yesterday during the  
10 off-road section. But a lot of similar  
11 challenges exist in the medium-duty and heavy-  
12 duty space too. Many early adopters of electric  
13 and VHD vehicles have voiced concerns about the  
14 lack of interoperability and specifically  
15 highlighted the need for greater standardization  
16 when it comes to charging. This is especially  
17 true in environments where you have multiple  
18 equipment types. So, for example, at ports or  
19 railyards, you might find yard tractors,  
20 forklifts and other cargo handling equipment.

21           Today there's a pretty large range of  
22 connectors that are available for these vehicles.  
23 Some are proprietary connectors. And some are  
24 even repurposed connectors that were originally  
25 designed for the light-duty segment. CCS is

1 actually a pretty common choice for many of the  
2 early on-road medium-duty/heavy-duty vehicles  
3 where DC charging with CCS works well for some  
4 applications, such as overnight charging or  
5 longer duration charging.

6           Many standards designed specifically for  
7 medium-duty and heavy-duty are still being worked  
8 on. And the sector overall is also just ramping  
9 up electrification now. So by being proactive  
10 about charger implementations which conform to  
11 standards, we have the opportunity to get this  
12 right early on and to avoid the fragmentation  
13 that we see in light-duty today. Keeping a focus  
14 on charger interoperability will be key to  
15 accelerating electrification in this sector  
16 which, in turn, is critical to reducing toxic air  
17 pollution, especially in communities near  
18 trucking corridors or ports or railyards or  
19 airports.

20           That said, we do recognize that there  
21 will be many different physical interfaces for  
22 charging, given the wide range of use cases in  
23 medium-duty/heavy-duty. Some will stick to a  
24 conductive plugin/plug out connector, such as the  
25 under-development Megawatt Charging System. But

1 there are other form factors, too, such robotic  
2 pantographs or wireless charging.

3           Regardless of what the appropriate  
4 physical interface is, we need industry and  
5 government to prioritize chargers which conform  
6 to industry standards to maximize  
7 interoperability. So, for example, pantographs  
8 should be designed to SAE's J3105. And  
9 conductive connectors should be designed to CCS  
10 or MCS. Technical requirements of CEC programs  
11 and funding opportunities will reflect this going  
12 forward.

13           Next slide.

14           So that's connectors. I want to pivot  
15 from that over to communication protocols.  
16 Today, basic low-level charger-to-vehicle  
17 communication is widely used. And this  
18 signalling scheme is sufficient for communicating  
19 the desired charge current, but it doesn't have  
20 any cyber security provisions, and it's not  
21 capable of communicating information such as  
22 billing, desired departure time, grid signals,  
23 such as pricing, carbon intensity and things and  
24 so forth.

25           So what this means is that any setting

1 for charging that isn't a charge current has to  
2 be done separately from the charger. If you want  
3 to pay, you have to take out your credit card,  
4 call a number or fire up an app. If you want to  
5 communicate departure time information, you have  
6 to set it on the charger or set it on the  
7 charger's app, if this is even possible at all  
8 today. And if you want to align charging to low  
9 electricity rates, you have to manually set  
10 timers, and you have to manually update those  
11 timers if TOU rates change by season and by year.

12           And by the way, if you visit a charger on  
13 a different network or buy a replacement charger  
14 for your garage from a new manufacturer, you're  
15 probably going to have to go through all of these  
16 steps all over again.

17           So generally speaking, today, it's the  
18 responsibility of the driver to figure all of  
19 this stuff out and to be the liaison between all  
20 the different actors. I know for some folks this  
21 is actually probably fun and it's like a  
22 technical puzzle. But for most, this is not a  
23 delightful experience.

24           That said, our analysis does suggest that  
25 this is changing. A lot of automakers and

1 charger manufacturers have begun rolling out  
2 products or have announced future products which  
3 will use ISO 15118 for high-level communication  
4 between the vehicle and charger. And this is  
5 happening both here in the U.S. and globally.  
6 ISO 15118 is basically a language that the car  
7 can speak to the charger and the charger can  
8 speak to the car, and it supports the exchange of  
9 information such as authentication, billing, grid  
10 signals, and it also support cyber security  
11 provisions.

12           Using ISO 15118 opens up a whole new  
13 world of features which can make charging more  
14 convenient, smarter, and more grid responsive.  
15 In the near term a lot of automakers, in  
16 conjunction with charger networks and  
17 manufacturers, are implementing 15118's Plug and  
18 Charge feature which enables a driver to initiate  
19 and pay for charging sessions simply by plugging  
20 in. This means that you can pull up to a fast  
21 charger or the shared charger at your apartment  
22 building or at the grocery store and all you have  
23 to do to start and pay for charging is plug in.  
24 There's no need for an app. There's no need for  
25 fumbling through for I.D. cards. There's no

1 credit card swipe. This is actually a huge step  
2 in making charging super easy, intuitive, and  
3 simpler than a trip to the gas station.

4           Some products already support plug-and-  
5 charge today. For example, the Ford Mach-E, the  
6 Porsche Taycan, and also chargers from Electrify  
7 America and Greenlots. And there are many more  
8 coming down the pipeline.

9           In addition to Plug and Charge, ISO 15118  
10 also supports the exchange of information for  
11 grid-responsive charging and bidirectional  
12 charging. In fact, as Noel mentioned, at a CEC  
13 workshop just a week ago or two weeks ago,  
14 industry panelists indicated that 15118 will be  
15 key to enabling features such as vehicle-to-home  
16 and vehicle-to-building, which can provide energy  
17 residential during wildfires, wind storms, or  
18 other grid outages. This means that 15118 in  
19 home chargers is going to be critical going  
20 forward, as well, not just shared chargers. And  
21 15118 is also the basis for communication for a  
22 lot of developing interfaces, such as wireless  
23 and pantograph.

24           So given all of this, and to support this  
25 market direction, the CEC will prioritize

1 deploying chargers which are at least hardware-  
2 ready to support ISO 15118. And we'll do this  
3 through technical requirements and, also, other  
4 avenues. This is in alignment with the CPUC's  
5 draft transportation electrification framework.

6 I should also add that ISO 15118 is  
7 backward compatible. And if you have a vehicle  
8 that uses the 1772 connector today, you can still  
9 charge using a charger which speaks ISO 15118.  
10 However, the chargers that we deploy today are  
11 going to be in the ground for years. So we need  
12 to prepare for the next generation of vehicles  
13 coming off the line, and also ones which are  
14 already here that can take advantage of ISO  
15 15118. This means prioritizing chargers with the  
16 necessary hardware transceivers and security  
17 modules to enable features like Plug and Charge.  
18 To folks who are on the line and well versed with  
19 the implementation of ISO 15118, we'd be curious  
20 on your thoughts on how to best define hardware  
21 readiness.

22 Next slide.

23 In addition to 15118's rule in  
24 simplifying the charging experience, the report  
25 also identifies widespread use of 15118 as a key

1 enabler of vehicle-grid integration at scale. As  
2 discussed before, 15118 is a common language for  
3 chargers and vehicles to exchange information  
4 about billing, grid signals, and mobility needs.  
5 And an example of a mobility need would be, "I  
6 need 50 miles by 3:00 p.m., which is when I leave  
7 to go pick up the kids." These are all critical  
8 tidbits of information that we need in order to  
9 enable grid-integrated charging.

10           Now here's how smart charging might work  
11 today without 15118. If I have a JuiceBox  
12 charger at home, I use the JuiceBox -- JuiceNet  
13 app to set my target range requirement and maybe  
14 enable participation and demand response if my  
15 utility supports that. But then if I drive to  
16 the library which uses PowerFlex chargers, I have  
17 to set all those preferences all over again using  
18 the PowerFlex app. And I have to rinse and  
19 repeat for any other charger that I might visit.  
20 There's a lot of redundancy. And the different  
21 actors are siloed and, generally, don't  
22 communicate with one another.

23           Now the way 15118 is designed, charging  
24 revolves around the driver via their vehicle. So  
25 the driver sets their range requirements,

1 departure times, price preferences, whatever, on  
2 their vehicle or through the vehicle's app. And  
3 whenever the car plugs into a charger, the  
4 charger passes along any pricing or grid signals  
5 to the car. Using all of this, the car can make  
6 decisions on how best to optimize charging based  
7 on your preset preferences and any of the dynamic  
8 information that it gets from chargers.

9           So what this means is that as long as  
10 cars all speak 15118, this dynamic information  
11 can be seamlessly exchanged anytime and anywhere  
12 a car is plugged in. It doesn't matter what  
13 charger network you're on, who the charger  
14 manufacturer was, what model car you have. This  
15 ability to exchange VGI parameters between any  
16 car and any charger, as a result of standardizing  
17 around 15118, is precisely why the report  
18 identifies 15118 as being so important to  
19 vehicle-grid integration at scale, and the key is  
20 at scale.

21           And to make this annoyingly clear, if you  
22 have a 15118-capable charger and it's ready to go  
23 with all sorts of juicy information for grid-  
24 integrated charging, if a car pulls up that  
25 doesn't speak 15118 and plugs in, it will start

1 dumb charging. There's no seamless way of  
2 exchanging any pricing or grid signals. Here we  
3 just lost an opportunity for VGI, or we're back  
4 to that siloed approach where it's, you know,  
5 separated by network and by app.

6 Same thing if you flip it around. If you  
7 have a 15118-capable vehicle that pulls up at the  
8 legacy charger, since the charger isn't capable  
9 of communicating any pricing and grid information  
10 we, again, lose an opportunity for VGI, like  
11 smart charging or bidirectional, like vehicle-to-  
12 home. By maximizing the number of cars and  
13 chargers that speak 15118, we at least have the  
14 opportunity to achieve grid-integrated charging  
15 at scale.

16 Now given that grid-integrated charging  
17 is critical to decarbonizing transportation, we  
18 want and, indeed, need to prioritize ISO 15118-  
19 ready chargers for all drivers in all  
20 communities. We have an opportunity to lead  
21 globally here.

22 As a clarification, preparing for ISO  
23 15118 does not prevent other ways of achieving  
24 VGI and can actually compliment other  
25 implementations. So if an automaker really wants

1 to do smart charging over telematics, they can  
2 still use Plug and Charge to simplify the  
3 customer experience using 15118.

4           That said, given the market announcements  
5 from both automakers and from charger folks, we  
6 view ISO 15118 as the most promising common  
7 language to enable widespread vehicle  
8 integration. And where appropriate, the CEC will  
9 update its own technical requirements to support  
10 this work.

11           Next slide.

12           While 15118 covers communication between  
13 the vehicle and the charger, Open Charge Point  
14 Protocol, or OCPP, covers communication between  
15 the charger and the backend network which is used  
16 to monitor and manage those chargers. OCPP is  
17 actually already the de facto standard for  
18 charger network communication. And the report  
19 identifies prioritizing OCPP-compliant chargers  
20 as an action which can further expand market  
21 choices and appropriate product lock-in.

22           Generally speaking, and this is broad  
23 strokes here, any OCPP-compliant charger can  
24 communicate with and be managed by any OCPP-  
25 compliant network solution. This is actually

1 pretty powerful because it gives site hosts a  
2 two-way flexibility when it comes to hosting  
3 chargers. If a site host likes a particular  
4 OCPP-compliant charger management network, they  
5 can use that network to manage any variety of  
6 chargers so long as all of those chargers also  
7 speak OCPP.

8           You can also flip this around. If the  
9 site host already has a mix of OCPP-compliant  
10 chargers, they can shop around for network  
11 solutions based on features and costs. Maybe  
12 that site host wants to implement reservations  
13 for their chargers. They can switch to a  
14 different network provider which has that feature  
15 implemented as long as it also speaks OCPP. This  
16 two-way flexibility is important for expanding  
17 market choices both in terms of charger hardware  
18 and network solutions. So that's the first major  
19 benefit of OCPP standardization.

20           The second benefit, which applies to  
21 networked charging more broadly, is that it  
22 enables a whole host of management features which  
23 are critical to VGI, and also critical to making  
24 chargers more easily shared among many drivers.  
25 With networked charging, you can manage access to

1 your chargers, and you can even finely control  
2 access by driver groups. So, for example, on  
3 weekdays you might set your chargers to only be  
4 usable by employees at a particular office  
5 building. Or say, if you're an apartment  
6 manager, you can set your chargers to grant your  
7 tenants preferential pricing and access, but  
8 still have those chargers be open to the public  
9 overall.

10 OCPP has provisions for reservations  
11 which may be useful for chargers with high  
12 utilization or lots of sharing, say at an MUD.  
13 And of course, OCPP can pass along grid signals  
14 it receives from utilities, aggregators, or other  
15 actors to enable grid-integrated charging.

16 So given these two advantages of product  
17 flexibility and also management capabilities that  
18 you get with OCPP, the CEC will prioritize OCPP-  
19 compliant chargers moving forward and update its  
20 technical requirements to reflect that.

21 As a final note, I want to emphasize that  
22 everything we presented here is a reflection of  
23 our analysis of where the market is today, but  
24 more importantly, the direction it's headed. And  
25 when we talk about prioritizing 15118 and OCPP,

1 it's our view that this mirrors where the market  
2 is, but it's also a nudge so that we can move  
3 more quickly to enable easier and grid-integrated  
4 charging at scale, that means for as many  
5 drivers, cars, chargers as possible.

6 We are putting chargers in the ground  
7 now. And we want to make sure that these  
8 chargers are ready for the next generation  
9 vehicles, and that they're ready to play a larger  
10 role in providing energy resiliency, and also  
11 decarbonizing California.

12 We have had conversations with many of  
13 the folks who are called in today and recognize  
14 that these technological changes are not trivial.  
15 We hear you and we're moving forward with funding  
16 for a standards testing lab here in California  
17 and, also, vehicle interoperability testing  
18 symposiums, so that's our ViGIL solicitation, and  
19 also our recently proposed testing events, RFP,  
20 which we're now calling VOLTS. As always, if you  
21 have feedback for how we can better support  
22 easier, smarter charging, we're all ears.

23 That's all I have. Thanks for setting  
24 aside time and being here with us today. Let's  
25 move into question and answer.

1 MR. RAMESH: Thanks, Micah, Noel, and  
2 Jeffrey.

3 We'll start with the Q&A box. And then I  
4 saw there were some raised hands, so we'll move  
5 there as well.

6 First question from the Q&A box from  
7 Karim Farhat at ENGIE, "Thanks for this  
8 presentation, very informative. Among the various  
9 types of chargers charging, which are assumed to  
10 be impacted by utility time-of-use rates and  
11 which are not specifically for all considered  
12 scenarios? DCFC seems to have significant impact  
13 on the grid. Are DC fast charger load profiles  
14 assumed to be impacted by utility-imposed time-  
15 of-use or private-party imposed private pricing  
16 structure that looks like TOUs?"

17 MR. CRISOSTOMO: I'll take that one.

18 Karim, as we've described in Matt's  
19 presentation and briefly during mine, right now  
20 we haven't incorporated the data response from  
21 the utilities -- thank you, utilities, for  
22 submitting them -- which would impose different  
23 hourly price periods. So while we haven't done a  
24 smart charging analysis yet we plan to.

25 That said, prices have not been used as a

1 constraining factor in the network design. But  
2 we were actually just talking about that  
3 potential for that type of analysis with HEVI-  
4 LOAD this morning. So that's a nice idea. We'll  
5 consider it.

6 MR. RAMESH: Great. I have now allowed  
7 Dean Taylor to talk.

8 Feel free to un-mute. Dean Taylor?

9 MR. TAYLOR: I apologize. I didn't mean  
10 to have my hand up. I think that was a mistake.

11 MR. RAMESH: Okay. No problem.

12 Moving on to Steve Davis. I have allowed  
13 you to un-mute.

14 MR. DAVIS: Great. Thank you so much.

15 Micah, Noel and Jeff, I -- this is less  
16 of a question and more of a comment. I think  
17 this is just a red-letter day for the State of  
18 California. In the last IEPR workshop that I  
19 attended I responded with some comments that I --  
20 you know, were deliberately planted in that I was  
21 concerned that we were still, you know,  
22 languishing without clarity, technical clarity,  
23 of what we needed to do for a revolution-scale  
24 adoption of electric vehicles. And as a  
25 proponent of the -- everybody knows I've been a

1 proponent of the ISO 15118 standard for many  
2 years now, but I've never seen anything quite  
3 like this.

4           So I think that my constant discussion of  
5 simple always wins, and the best time to plant a  
6 tree is always 20 years ago, we're now really,  
7 with today's workshop, discussing with moral and  
8 technical clarity. And I really did appreciate  
9 Noel's use of satellite images to underscore  
10 that, as Jerry Brown used to say, "This is damn  
11 serious."

12           And we're going to need lots and lots of  
13 storage to integrate renewables that we're going  
14 towards. And we're going to need to have a  
15 simplicity for the consumer to tease forward the  
16 accelerated adoption of these vehicles. And a  
17 plug-and-play world and the homogenous ecosystem  
18 of plug-and-play for electric vehicles is  
19 absolutely unequivocally the way for us to go.  
20 And I think today we just -- I heard the State of  
21 California say that that's what we need to do and  
22 we need to start investing in that direction.

23           So, in addition, the plans for a series  
24 of testing symposiums and a testing lab in the  
25 state of California is going to put a marker to

1 the automakers that have already made their  
2 sounds that the ISO 15118 standards is the way  
3 they're going anyway. And the State of  
4 California is now saying, okay, we hear you and  
5 we're going to embrace that technology so that  
6 you can embrace that technology.

7           And far more than that, what that  
8 ecosystem enables is innovation by all sorts of  
9 small players that are going to leverage that  
10 plug-in-and-charge functionality and capability  
11 and simplicity in ways we can't even imagine now.

12           So this is a really great day. I  
13 compliment. Patty, I compliment you. I  
14 compliment Noel and Micah and Jeff because this  
15 was very clear and really moving the ball down  
16 field, so thank you all.

17           MR. RAMESH: Thanks for that comment,  
18 Steve.

19           Okay, moving on to Ray Pingle. I've  
20 allowed you to un-mute.

21           MR. PINGLE: Thanks. This is Ray Pingle,  
22 Sierra Club California. And I'd like to, first,  
23 echo Steve's comments. I mean, I think this is a  
24 red-letter day and another round of excellent  
25 presentations.

1           And I also appreciate putting forth very  
2 clearly that we have to have VGI. It's just not  
3 a nice thing to get revenue for school buses,  
4 although that's very good, but we've got to have  
5 it to get cost-effective infrastructure in place  
6 that's fully functional and easy to use.

7           So this first question/comment I have is  
8 for Noel. And you know, I appreciate and learned  
9 a lot from all of these various load profiles  
10 assuming different charging scenarios, such as  
11 the gas station, the timed, and so on. But I  
12 think it would be helpful for the final draft of  
13 this report to also build a draft hypothetical  
14 ideal profile.

15           For example, if we assume that we went  
16 with smart charging, we may want to allow  
17 charging to start at 10:00 p.m. and, you know,  
18 extend until 7:00 a.m., something like that, but  
19 have staggered starts or lower levels so that  
20 it's flatter during that period, combined with  
21 charging for those vehicles that are parked  
22 during the day at employers that could take  
23 advantage of that charging.

24           So, in other words, it's good to see all  
25 these problems, but it would be helpful to come

1 out with a vision of where are we trying to head?  
2 And I know that won't be finalized for a while  
3 but I wanted to bring that up for one thing.

4 And then --

5 MR. CRISOSTOMO: Yeah.

6 MR. PINGLE: Go ahead, Noel.

7 MR. CRISOSTOMO: Yeah. If we can take  
8 this piece by --

9 MR. PINGLE: Yes.

10 MR. CRISOSTOMO: -- since that was a lot?  
11 Thank you.

12 Totally agree with the need for fine  
13 granular analysis and building in the flexibility  
14 of adaptation in our equipment, as Jeffrey was  
15 describing. We don't know how the market will  
16 necessarily react, given the high-level analysis,  
17 network analysis, for EVI-Pro 2. As we described  
18 yesterday, we don't have exact locations for  
19 which workplace or which parking lot for light-  
20 duty vehicles yet. That's really where our  
21 partnerships with third-parties deploying the  
22 equipment, sometimes, where are incentives come  
23 in.

24 And so, hopefully, we will be able to,  
25 with the right enabled hardware, respond to the

1 risk of simultaneous of class-wide rate designs.  
2 This is where the high-level communication and  
3 automation of when people need to go can afford a  
4 more smoother and sinusoidal optimal rate  
5 design -- or sorry, optimal load profile shown on  
6 the By-Departure-Time load profile.

7           So we don't have all the answers yet.  
8 Those load profiles are visions for the future  
9 still. But we can't optimize without the  
10 enabling equipment. That's the point of our  
11 work.

12           MR. PINGLE: Yeah, and that's fine. And  
13 I guess all I would say is, and this may be  
14 obvious, but to say the goal is, ideally, we'd  
15 like just a flat load curve 7/24. We know we  
16 can't get there but we want to do what we can  
17 using the optimal combination of all of these  
18 technologies to get as close to that as possible.  
19 And we won't know that -- how to do that until we  
20 get deeper into it.

21           But the other thing I wanted to bring up  
22 is you get a lot of questions from consumers that  
23 are all interested -- that are at all interested  
24 in this. And they say, first of all, what is it  
25 going to do to my battery warranty?

1           But, also, I think it might be helpful to  
2 start developing, again, kind of a draft vision  
3 from the lens of the EV owner, you know, that's  
4 going to do this, just to get more understanding  
5 and buy-in to the overall process, to say, you  
6 know, for example, you can decide you don't want  
7 to participate at all, that's one level, or  
8 another level is you want to participate but only  
9 to allow management of when the charging occurs,  
10 but you're not going to take anything out of my  
11 battery. You can just control when power goes  
12 in.

13           And the third is maybe I would authorize,  
14 especially if I can get some revenue, frequency  
15 regulation, but I don't want to do wholesale  
16 export, something like that. So just some  
17 gradation so people can start getting their heads  
18 around what might this look like for the driver.

19           MR. CRISOSTOMO: Yeah. Absolutely. This  
20 is where our engagements with industry and the  
21 charging service providers working with the  
22 automakers will be really important so that the  
23 operation of the VGI application is, one, always  
24 opt-in or at least acknowledged by the user. VGI  
25 isn't VGI for the purpose of the grid only. It's

1 principally designed to make sure that we meet  
2 our needs for transportation, of course.

3 MR. PINGLE: Right.

4 MR. CRISOSTOMO: And so the  
5 implementations beyond smart charging or V2G will  
6 necessarily be an actuated decision by the  
7 customer --

8 MR. PINGLE: Great.

9 MR. CRISOSTOMO: -- with the help of  
10 their enabling technologies.

11 MR. PINGLE: Great. Thanks. And I just  
12 have one more question and it's for Jeff.

13 Jeff, so as far as the connector  
14 standards on medium- and heavy-duty, because  
15 many, as you mentioned, many medium- and heavy-  
16 duty vehicles right now are using CCS for as high  
17 up as the power goes. And the MCS charging  
18 standard, hopefully, is going to come pretty  
19 soon. But do you think it's likely that the de  
20 facto conductive charger standard will,  
21 basically, be CCS, just the different power  
22 levels, but the physical connector would be the  
23 same -- could become the conductive standard; is  
24 that fair to say or" --

25 MR. LU: I think that's certainly a

1 possibility. I think, based on some of the  
2 things we're heard from the manufacturers of  
3 medium- and heavy-duty trucks is that CCS is  
4 going to be deployed in the first generation of  
5 trucks that are going to be rolling out onto the  
6 roads. And so, I mean, that might help make CCS  
7 become the de facto standard, at least in the  
8 short term.

9           But that said, there are plenty of  
10 applications and plenty of manufacturers that are  
11 interested in, eventually, migrating to higher-  
12 power solutions, especially to catch those corner  
13 use cases where 350 or even 500 kilowatt CCS  
14 charging just doesn't get you there, so --

15           MR. PINGLE: So my point, though, is  
16 that, I mean, mechanically, the MCS standard will  
17 have the same physical plug template, right, as a  
18 CCS today, and the only difference is the power  
19 level?

20

21           MR. LU: I don't believe that's true, no. I  
22 believe MCS will be physically different than  
23 CCS.

24           MR. PINGLE: Oh, will it? Okay. All  
25 right. Okay. That's my question. Thank you.

1 MR. RAMESH: Great. Thanks Ray.

2 MR. PINGLE: Thank you.

3 MR. RAMESH: I'm now allowing Kristian  
4 Corby at CalETC to talk. And this is a good time  
5 to remind everyone to please introduce yourself  
6 with your name and your affiliation before you  
7 begin your question or comment. Thanks.

8 MR. CORBY: Good afternoon everyone.  
9 This is Kristian Corby at the California Electric  
10 Transportation Coalition.

11 And I want to start by really thanking  
12 Staff for all their hard work on these  
13 presentations, both today and yesterday. It's  
14 been very, very informative and, really, a ton of  
15 useful information. So, really, thank you very  
16 much.

17 And I wanted to definitely throw support  
18 behind the standardization of the connector  
19 types. I think, you know, as - like Steve said,  
20 like teasing forward EV adoption, that's going to  
21 be something that will really help uh streamline  
22 for the market. And I've certainly heard from  
23 our constituents that that's something we're very  
24 interested in.

25 The um you know, one thing CalETC has had

1 some issue with is the adoption of ISO, or some  
2 concern with is the adoption of ISO 15118. And I  
3 think it stems from um two main points, one being  
4 that we were kind of hopeful that the market  
5 would be able to kind of make this decision and  
6 kind of allow for some um more open competition  
7 around which standard would end up -- either end  
8 up being the best or end up being adopted or end  
9 up becoming the most popular.

10 But then secondly and probably more  
11 importantly, is the concern around just low-cost  
12 charging and making sure that there aren't  
13 additional added soft costs to charging and  
14 keeping the prices as low as possible and  
15 affordable as possible so we can ensure that not  
16 only is -- you know, not only do we have EVs  
17 being able to be owned and used by low-income  
18 communities and priority communities, but also  
19 that the fueling is affordable.

20 So you know, I think part of this is also  
21 a question, which would be, I don't -- you know,  
22 I'm not sure if the -- if Staff has looked into  
23 how much added cost would come from a mandate of  
24 ISO 15118? Or if there is additional soft costs  
25 is -- do -- does the Staff have a plan for how to

1 keep those costs lower or help subsidize those  
2 costs? Just kind of wanting to make sure that  
3 that was part of the plan with a potential  
4 mandate.

5 So thank you very much.

6 MR. CRISOSTOMO: Jeff, I'll start and  
7 maybe you can complement me.

8 So the first question about competition  
9 in terms of the industry selecting ISO 15118, we  
10 believe that the industry has, indeed, selected  
11 15118 as the basis for high-level communication,  
12 low level of communication that's, of course,  
13 endemic with IEC 61851. And all but one of the  
14 manufacturers implementing CCS are planning to  
15 use 15118 for their high-level communication. So  
16 we do believe that the market has decided on the  
17 basis of high-level communication.

18 And, further, during our prior workshops  
19 in 2019, we explained a challenge with parallel  
20 implementation of high-level communications  
21 protocols. Essentially, multiple implications --  
22 multiple implementations of communication within  
23 a single individual interface would create an  
24 interoperability problem. Essentially, if you  
25 were to implement one communication on the

1 vehicle, another on the charger, even though they  
2 fit together they would literally not be able to  
3 communicate.

4           So the common and unique implementation  
5 of a communications protocol between the vehicle  
6 and equipment as ubiquitously as possible is  
7 essential to enable that plug and charge future  
8 at the least cost to both the manufacturers who  
9 have stated their intention for their product  
10 lines in the next decade and the EVSE  
11 manufacturers who are trying to minimize the cost  
12 of operating the network.

13           So, yeah, we believe that competition is  
14 resulting in the level of market clarity that we  
15 have been examining for the past five years in  
16 earnest, or more, and that the low cost potential  
17 comes from that robust implementation of the  
18 standards that we have called out in a market  
19 where multiple providers are competing to offer  
20 the best solution for customers as effectively as  
21 possible.

22           Jeffrey, would you add anything to that?

23           MR. LU: Yeah, just a couple brief  
24 points.

25           Thanks for the comment, Kristian.

1 Definitely, cost is on our minds always. All  
2 else equal, we want costs to be lower.

3 That said, you know, we have a couple of  
4 efforts that we're doing, like the ViGIL  
5 solicitation of the VOLTS RFP, where we are  
6 trying to help industry get to the technological  
7 readiness to get this cost down.

8 So that -- those are some efforts on our  
9 end. Certainly happy to entertain any additional  
10 thoughts from industry on how they think we can  
11 help alleviate any cost concerns or how serious  
12 those cost concerns are.

13 And then sort of more broadly, you know,  
14 yes, I know, you know, implementing new features  
15 is going to cost money up front. But we also  
16 know this is stuff that people are asking for.

17 Last June we had Ray Leon, the mayor of  
18 Huron here on an IEPR panel. And he was saying,  
19 you know, in his community they want easier  
20 charging. They don't want to deal with these  
21 cards. You know, essentially, he was asking for  
22 plug-and-charge, though he didn't call it out by  
23 name.

24 And so we know that folks want this.  
25 It's already rolling out to consumers today, so

1 we want to do our best to support what the market  
2 is demanding but, of course, keeping costs down,  
3 in line as well.

4 But thanks for the comment.

5 MR. CRISOSTOMO: Just to really hit that  
6 point home, to quote Ray from our IEPR workshop  
7 back in June, he was saying that his communities  
8 deserve the best available control technologies,  
9 and that his communities don't want secondhand  
10 technologies.

11 We want an equitable and widespread  
12 distribution of smart charging such that it's  
13 easy and, effectively, as least cost and clean as  
14 possible for everyone, including disadvantaged  
15 communities.

16 MR. RAMESH: Okay. I will now allow  
17 Robert Perry to talk.

18 MR. PERRY: Hi. Can you hear me?

19 MR. RAMESH: Yes.

20 MR. PERRY: Okay. Great. Just want to  
21 echo the comments of my predecessors, great  
22 presentations, great tools. This really bodes  
23 well for accelerated adoption of VGI and, by  
24 extension, EVs.

25 This is a question for Jeffrey. You

1 know, your anecdote regarding the people with  
2 the, you know, spent battery really kind of  
3 switched on a light for me. And with respect to  
4 the ISO 15118 standard, is there any  
5 consideration concerning vehicle-to-vehicle  
6 charging? You know, like in your anecdote, if  
7 both of your cars were, you know, compliant with  
8 the standard and you had a full charge, you could  
9 conceivably give enough charge to give them  
10 security to get to the next charging point.

11           It also opens the door for, you know,  
12 incentivizing medium- and heavy-duty road service  
13 companies to, you know, to basically be mobile  
14 charge centers so that, you know, people, if  
15 they're caught in a bad situation, you know, the  
16 charging station comes to them. It seems to me  
17 that, you know, a big obstacle to EV adoption  
18 still is range anxiety. And developing a feature  
19 like that, while it's not -- there's not much  
20 grid in that scenario, would, it seems to me,  
21 really go a long way to ease people's minds and  
22 to make them more -- make the possibility of them  
23 buying an EV much more probable.

24           Anyway, I'd like your thoughts on that.

25           MR. LU: Yeah. Absolutely. I think

1 that's --

2 MR. RAMESH: One second.

3 Before you answer, Jeffrey, would you  
4 mind stating your affiliation, Robert?

5 MR. PERRY: Oh, I'm sorry. Robert Perry.  
6 I'm an energy policy consultant, working with the  
7 Climate Center and Vote Solar on California  
8 policy. And you know, I have a specific interest  
9 in how VGI can not only accelerate EV adoption  
10 but add significant resource adequacy to our  
11 energy system.

12 MR. RAMESH: Great. Thanks Robert.

13 MR. LU: Yeah. I think 15118 can be a  
14 compliment to that. If I'm not mistaken, 15118  
15 adds provisions under 15118-20, which is  
16 currently being worked on the standards  
17 organizations, it has provisions for vehicle-to-  
18 vehicle charging. And we've also seen  
19 announcements, at least on the light-duty side,  
20 from Rivian, from Lucid, about vehicle-to-vehicle  
21 charging. Elsewhere in the industry, we've also  
22 heard about the sort of like charging as a  
23 service or emergency out of, you know, out-of-  
24 range services where they use vehicle-to-vehicle.  
25 So, certainly, we think this is an

1 opportunity going forward. And I think  
2 supporting 15118 broadly and the charging  
3 ecosystem can also help facilitate those features  
4 later on.

5           That said, when it's vehicle-to-vehicle,  
6 like it doesn't really involve a charger  
7 deployment from our end. So in terms of us  
8 aligning technology requirements in our programs  
9 and things like that, there's not anything too  
10 specific, I don't think, that we can do to target  
11 vehicle-to-vehicle, other than specific  
12 solicitations. But I think supporting 15118  
13 broadly will help us get there.

14           MR. RAMESH: Great. Thanks Jeffrey. I'll  
15 time check.

16           MR. CRISOSTOMO: Sorry.

17           MR. RAMESH: Oh, go ahead.

18           MR. CRISOSTOMO: For the record, the  
19 Megawatt Charging System that Jeffrey mentioned  
20 does have bidirectional features and is also  
21 based on that same technology.

22           So -- and, Raja, I believe you'll cover  
23 vehicle-to-vehicle charging very briefly during  
24 yours, so more to come.

25           MR. RAMESH: Great. So time check. We

1 have about seven minutes left for the question  
2 and answer session. I see there's one more hand  
3 raised but I'm going to go to the Q&A boxes  
4 first.

5           So first from Michael Coates, "What is  
6 the current inventory of MD/HD chargers and how  
7 was it obtained?"

8           MR. CRISOSTOMO: Jeffrey, was that a  
9 reference to your description of, I guess, a few  
10 interviews that we've had in workshops that we've  
11 heard?

12           MR. LU: Oh. Okay.

13           MR. CRISOSTOMO: -- on MD/HD?

14           MR. LU: Sure. Yeah. I thought that was  
15 sort of more of a counting charges question.

16           The current -- so we don't have like a  
17 database of medium-duty and heavy-duty chargers  
18 throughout the state right now. Counting  
19 chargers, I think, right now is strictly limited  
20 to the light-duty. But a lot of the thoughts  
21 that we've heard from medium-duty and heavy-duty  
22 have been through interviews and, you know, IEPR  
23 workshops where panelists, for example from the  
24 Port of Long Beach or from BNSF have indicated  
25 problems with interoperability in MD/HD charging.

1 I hope that helps.

2 MR. RAMESH: Great. Next question from  
3 John Holmes, "In terms of aggregator-managed  
4 charging, how are CEC addressing utility  
5 responsiveness to Rule 21 implementation which  
6 specifies IEEE 2030.5 for distributed energy  
7 resource dispatch, this in comparison to OCPP  
8 implementation?"

9 MR. CRISOSTOMO: Yes. Thanks John. If  
10 you could chat your affiliation just so we know?

11 Yes, OCPP is usually vehicle to -- sorry,  
12 equipment-to-network communication. We also  
13 understand that IEEE 2030.5 will be DER controls.

14 As I understand, there's a use case  
15 similar to OpenADR where the EVSE network  
16 operator could be an end node to send those DER  
17 controls to the EVSEs. So we believe that it's a  
18 compatible and extensible design. Let us know if  
19 we need to speak more about that.

20 MR. RAMESH: Great. And next question  
21 from Bjoern Christensen. "What can CEC do to  
22 convince the IOUs to fully get behind  
23 bidirectional EVs in their grids, including AC  
24 bidirectionality?"

25 MR. LU: I'll take a brief stab at that.

1 I don't know that we're going to try and convince  
2 IOUs of certain things but we're certainly going  
3 to work with them. We're engaged with the IOUs  
4 and their AC V2G pilots. We're also looking  
5 internally on how we can support AC V2G to get  
6 that technology more ready and, also, to support  
7 standards development and agreement in standards  
8 development in that area. So that's some of the  
9 work we're doing in that area.

10 MR. RAMESH: Great. Next question from  
11 Andrew Larkins, "Comment: It would be good to  
12 show renewable energy generation timing in the  
13 report to show the match between zero-carbon  
14 supply and electric vehicle demand. This would  
15 indicate optimum load profile."

16 I believe a graphic like this, similar to  
17 one presented in the draft AB 2127 report is in  
18 the IEPR report which also has the addition of  
19 the renewable energy generation window.

20 Anything else to add from other  
21 panelists?

22 MR. CRISOSTOMO: Yes. The RoadTrip  
23 profile is captured in the IEPR. But, yes, we  
24 are internally coordinating with the SB 100 Team  
25 and have reviewed that report to understand the

1 extent of storage necessary and the operational  
2 considerations for us to consider smart charging  
3 implementations.

4 MR. RAMESH: Okay. It looks like another  
5 comment from Andrew Larkins. "A flat load curve  
6 is not ideal due to the impact of daylight on  
7 solar generation."

8 Thanks for the comment, Andrew.

9 Next question from Enrique Rodriguez.  
10 "Hi Noel. Do all charger types discussed work  
11 with 1.4 kilowatt power?"

12 MR. CRISOSTOMO: Yes, as Jeffrey  
13 described, there is backward compatibility, since  
14 these are based on J1772.

15 MR. RAMESH: Great. Next question from  
16 Dean Taylor. "CARB has already regulated payment  
17 of public charging and mandated three solutions,  
18 plus mandated OCPP, but did not mandate plugin  
19 charge ISO 15118. Is CEC planning to regulate on  
20 SB 454?"

21 MR. LU: Thanks for that question, Dean.  
22 The short answer is no. We're approaching this  
23 from a hardware readiness standpoint in terms of  
24 deploying chargers that are capable of supporting  
25 ISO 15118. I don't know that there are any plans

1 to mandate that Plug and Charge be available or  
2 anything like that.

3 MR. RAMESH: Thanks. Next question from  
4 Margarita Parra. "Thanks for the report and  
5 presentations. A question that emerges, perhaps  
6 for further discussion, is how the revenues of  
7 the V2X services are going to be factored in on  
8 the electricity tariff? How can they really  
9 offset the Cap-Ex and Op-Ex of electric vehicles,  
10 especially fleets like buses?"

11 MR. CRISOSTOMO: Yeah. I know the CPUC  
12 has not yet established tariffs for V2G yet.  
13 They're working on those topics in the DRIVE OIR  
14 currently. But just as an example, the anecdote  
15 that I described, Lucid is offering demand charge  
16 management, don't necessarily need a V2X tariff.  
17 They just simply need to be able to interact with  
18 the system and safely interconnect. The tariffs  
19 that they would be interacting with as a storage  
20 device, not necessarily as a vehicle, per se, is  
21 just the regular commercial tariffs.

22 The extent of the demand charge  
23 management, the operation at the site and how  
24 those are remunerated for individuals, will  
25 determine the extent to which Cap-Ex and

1 additional Cap-Ex on this equipment would be paid  
2 off.

3 MR. RAMESH: Great. A comment for the  
4 record. John Holmes's affiliation is Paratelic  
5 Systems.

6 And next, a comment from Jamie Hall.  
7 "It's important to note that ISO 15118 is a  
8 series of standard business and cyber security  
9 processes and not just a single document. It's  
10 important to be very specific what aspect of  
11 15118 we are talking about. We've heard comments  
12 about automakers already moving towards the  
13 standard but you need to go a level deeper. Many  
14 companies will take on the cost of implementing  
15 15118 for basic DC charging. Beyond the basic  
16 functionality, companies may add to -- may add  
17 plug and charge functions, passive or active V1G  
18 functions, or even V2G functions. Business cases  
19 for the higher functions will drive  
20 implementation. There are real costs here,  
21 multiple back offices to coordinate, et cetera.  
22 And there are ongoing discussions around PKI and  
23 cyber security, so we support Kristian's  
24 reservations on cost."

25 MR. LU: Yeah.

1           MR. RAMESH: Thanks for that comment,  
2 Jamie.

3           MR. LU: I'll just quickly address some  
4 of the points there.

5           Absolutely agree, basic DC charging and  
6 moving beyond that will require different  
7 approaches and, of course, even more hardware for  
8 bidirectional.

9           We'd actually appreciate feedback on this  
10 from folks. We are talking about a charger  
11 hardware-readiness approach to 15118 for the  
12 short term. We're thinking about -- you know,  
13 obviously, that required the power line  
14 transceiver for the power line communications  
15 but, also, hardware security module for plug and  
16 charge. If other folks feel like there are other  
17 components we should be looking at or things we  
18 should be considering, please let us know.

19           And, incidentally, regarding PKI, we  
20 actually had a discussion with SAE earlier about  
21 their effort about PKI. So we are monitoring  
22 those efforts as well.

23           Thanks Jamie.

24           MR. RAMESH: Great. So we'll delay a few  
25 minutes by -- so we can take the remaining hand

1 from Erick Karlen. I'll just read Andrew Larkins  
2 affiliation for the record. Sygensys is Andrew  
3 Larkin's affiliation, a European company working  
4 on optimizing grid resiliency in the presence of  
5 EV charging.

6 Thanks Andrew.

7 Now I'll allow Erick Karlen to talk.

8 MR. KARLEN: Yeah. Thanks everyone,  
9 Noel, Jeffrey, Commissioner Monahan, really  
10 refreshing to hear what we have heard today.  
11 Just this intent, driver focus and grid focus, is  
12 exactly what the state needs to be doing at this  
13 point. And the pieces of the puzzle that we've  
14 heard elaborated on today are what is needed to  
15 happen to get to a point where not only is public  
16 charging as easy as using a gas station but is,  
17 indeed, easier and a better experience, which is  
18 what we should be striving for.

19 But also really importantly, this sort of  
20 direction is exactly what the industry needs to  
21 be hearing. We've heard the Commission, over the  
22 years, kind of contemplate different standards,  
23 arguably, not too much to kind of move towards  
24 them, so exciting to hear what we're hearing here  
25 today.

1           You know, as Jeffrey indicated, you don't  
2 really need to read the tea leaves to see where  
3 the industry is moving towards with respect to  
4 standardization. But with a little nudge we can  
5 avoid another five years of meddling on these  
6 issues and, you know, waiting for, perhaps, the  
7 industry to, on its own, fully coalesce to  
8 whatever standard people expect around a certain  
9 technology.

10           So really excited to see the Commission  
11 move here forward with the clarity, the  
12 direction, and the focus on these issues at the  
13 situation and across those who are out here today  
14 in this space.

15           Thank you.

16           MR. RAMESH: Thanks Erick. And would you  
17 mind stating your affiliation?

18           MR. KARLEN: Yeah. Sorry. Erick Karlen  
19 with Greenlots

20           MR. RAMESH: Great. Thank you.

21           Any response from panelists? Otherwise,  
22 we can move to the break.

23           MR. LU: No, but thanks for the comment,  
24 Erick. I appreciate it.

25           MR. RAMESH: So we'll keep the five-

1 minute break, so now we'll return at 2:40 instead  
2 of 2:35. Thanks. And talk to you all in a few  
3 minutes.

4 (Off the record at 2:35 p.m.)

5 (On the record at 2:40 p.m.)

6 MR. CRISOSTOMO: All right, everyone,  
7 we're going to get back started. And I'll turn  
8 it over to my colleague, Raja Ramesh, for the  
9 next presentation.

10 MR. RAMESH: Great. Thanks Noel.

11 So good afternoon. My name is Raja  
12 Ramesh. I'll present today on tailoring charging  
13 solutions to local constraints, which is covered  
14 in Chapter 6 of the Draft Staff Report.

15 So the central question here is how do we  
16 ensure charger deployment is equitable and  
17 effective? So building on Micah's discussion of  
18 distribution and grid capacity, Noel's discussion  
19 on EV charging demand analysis, and Jeffrey's  
20 discussion on standards, this is charging  
21 infrastructure that is accessible to and easy to  
22 use for, as well as meets the needs of, all  
23 Californians, meaning that it will be cost  
24 effective and effectively utilized by the  
25 community it lies in.

1           But how do we achieve this vision?

2           We'll move to the next slide.

3           California has a diverse built  
4 environment. Areas vary by local distribution  
5 grid capacity, land use, for example, multi-unit  
6 dwellings or retail, et cetera, space  
7 constraints, some parking may be in garages, on  
8 narrow streets, et cetera, and other  
9 characteristics.

10           Electric vehicle drivers and the  
11 communities they are part of also have a diverse  
12 set of needs, the time of day they expect to  
13 travel, their ability and willingness to share  
14 vehicles, as well as the different types of  
15 housing situations they may reside in. These  
16 communities know their needs best.

17           As a result, there is no one-size-fits-  
18 all approach to designing electric vehicle  
19 charging solutions. Instead, the report  
20 identifies the need for a BESTFIT approach which  
21 leads to solutions that fit the needs of a  
22 community in a cost effective way and produce  
23 multiple economies of scale.

24           In this, there are several form factors.  
25 On the left, ChargePoint's pedestal-mounted

1 charger which may be suitable for a parking area  
2 curb. In the middle, FreeWire's mobile battery  
3 integrated charger which may be suitable for  
4 tight parking garages or quick charges. And on  
5 the right, BEAM's transportable solar canopy  
6 integrated charger which may provide a cheaper  
7 charging option for spaces with high space and  
8 sunlight but low distribution grid capacity.  
9 These are illustrative examples. And other  
10 companies may make similar products.

11           Next slide.

12           Historically, transportation planning and  
13 projects have often insufficiently considered the  
14 needs of local communities, particular low-income  
15 and disadvantaged communities suffering  
16 disproportionate health impacts. To ensure the  
17 benefits of electrification are equitably  
18 distributed, policymakers must directly involve  
19 communities in identifying and planning high-  
20 quality charging solutions that meet local needs  
21 and yield direct community benefits. Here are  
22 three examples of ways to implement planning in a  
23 more community and equity-centric way.

24           First, the Greenlining Institute  
25 recommends planners involve communities by

1 including them in the budgeting for the event in  
2 their mobility equity framework.

3           Second, California Air Resources Board's  
4 STEP, or Sustainable Transportation Equity  
5 Project, guidance on community outreach  
6 recommends compensating community members for  
7 participating in outreach events to determine  
8 needs.

9           And last, the Energy Commission has  
10 awarded \$2 million in grant funding throughout  
11 the state, as you can see in the map on the  
12 right, to develop electric vehicle-ready  
13 community blueprints which would bring together  
14 stakeholders, such as local governments, port  
15 authorities, workforce development interests,  
16 businesses, community-based organizations, and  
17 more to understand community needs and prepare  
18 for transportation electrification.

19           Innovative ideas, like multimodal  
20 transportation hubs that provide EV charging,  
21 have emerged from efforts like these. The Energy  
22 Commission recently awarded \$7.5 million in grant  
23 funding for some of these communities to  
24 implement their blueprints.

25           To take one example of a community

1 blueprint, Ventura County solicited input from  
2 more than 100 major employers and property  
3 managers, as well as more than 1,000 employees.  
4 In addition, they reached hundreds of additional  
5 residents through holding focus groups, two out  
6 of three which were delivered in Spanish,  
7 listening sessions, lunch and learns, and tabling  
8 at community events. They used it to understand  
9 and develop from these efforts to set 11 electric  
10 vehicle and electric vehicle infrastructure-  
11 related targets, including to deploy chargers at  
12 or near the 100 largest workplaces in Ventura  
13 County by 2025 and to deploy at least two  
14 electric vehicle charges at or near the 100  
15 largest multi-unit dwellings and the 50 largest  
16 multi-unit dwellings in disadvantaged communities  
17 by 2025. This is a great example of how planning  
18 can be used to achieve the ideas outlined in the  
19 previous slide.

20           Moving to the next slide, local  
21 jurisdictions across the state have modeled how  
22 several policy tools can be used to implement the  
23 vision of a BESTFIT approach to charging  
24 infrastructure that meets community needs in an  
25 equitable and effective manner.

1           First, they've shown building codes can  
2 be used to increase access to charging to  
3 encouraging charger installations, make adding  
4 charging later cheaper and easier through  
5 encouraging distribution-level grid upgrades, or  
6 even reduce the impact of charging on the grid  
7 through encouraging load management systems to  
8 allow multiple charger plugs to share one  
9 electrical connection. Building standards at a  
10 state level can build off of these local  
11 practices as well.

12           Second, streamlining permitting can make  
13 it faster and cheaper to install chargers. When  
14 permitting processes are straightforward and  
15 consistent across the state, charging  
16 infrastructure deployment can scale quickly. The  
17 Governor's Office of Business and Economic  
18 Development has launched a permitting Olympics  
19 effort, progress towards which is captured in a  
20 screenshot from their website at the bottom of  
21 the slide.

22           Finally, solicitations, like the Energy  
23 Commission's BESTFIT approach -- Best Fit  
24 Innovative Charging Solutions, can encourage  
25 electric vehicle service providers to build

1 innovative charging solutions tied closely to  
2 local needs.

3           As you'll see on the next slide, which  
4 shows the number of applications received in each  
5 category for Phase 1 of this solicitation, there  
6 are dozens of companies with innovative ready-to-  
7 deploy solutions in order to achieve the vision  
8 of a BESTFIT approach to charging infrastructure.  
9 In particular, space-based approaches to  
10 minimizing grid cost, developing more advanced  
11 and convenient interfaces, and increasing  
12 utilization of chargers have drawn broad and  
13 technically-ready proposals.

14           Thank you. And this concludes this  
15 portion of the workshop.

16           MR. CRISOSTOMO: Next, I'd like to  
17 introduce a colleague, Larry Rillera, Air  
18 Pollution Specialist, who will talk about  
19 workforce training and development.

20           Larry, please take it away.

21           MR. RILLERA: Yes. Great. Thank you,  
22 Noel. I appreciate that introduction.

23           Next slide please.

24           Aloha Friday everybody. My name is Larry  
25 Rillera. I am Staff in the Clean Transportation

1 Program. I lead our teams and activities with  
2 respect to ZEV manufacturing, workforce training  
3 and development, and our equity and outreach  
4 engagement.

5           The next portion of this workshop will  
6 highlight a small section of the report on  
7 workforce. A purpose in addressing EV charging  
8 workforce is to make transparent the critical  
9 need for job quantity, job quality, and ensuring  
10 key occupations and scales required to plan,  
11 construct, install, service, and replace  
12 chargers. To one set of stakeholders, the  
13 numbers -- the number of chargers identified here  
14 convey clarity with respect to infrastructure  
15 support needed for ZEV goals.

16           For this presentation, these numbers also  
17 represent potential for business growth, job  
18 growth, and expose the need to future-proof the  
19 workforce sector tied to EV chargers. The state  
20 also needs to ensure workforce participation and  
21 growth in all communities.

22           For purposes of my presentation, in the  
23 next few slides we are going to shift away from  
24 deep analytics and technology. I want you to  
25 think about who. Who is going to do this? Who

1 are they? Who is going to bid on the work? Who  
2 is going to put this stuff in the ground? Who is  
3 going to dig? Who is going to connect the wires?  
4 Who is going to maintain it? Who is going to  
5 replace it?

6           Next slide please.

7           As context to workforce training and  
8 development of electric vehicle charges, I want  
9 to highlight a few areas of the Clean  
10 Transportation Program's investments in this  
11 area. Approximately \$35 million has been  
12 invested to date for over 20,000 trainees. State  
13 workforce entities have been partners since the  
14 inception of the program, such as the California  
15 Workforce Development Board, the California  
16 Employment Training Panel, the Employment  
17 Development Department, and the California  
18 Community Colleges.

19           The second workforce area I want to  
20 highlight is centered on the ZEV supply chain  
21 and, specifically, the manufacturing segment.  
22 Approximately \$55 million has been invested since  
23 program inception. The manufacturing portfolio  
24 also includes EV charging companies, such as  
25 ChargePoint and FreeWire. The EVSE manufacturing

1 workforce is a critical component in increasing  
2 the value of California's ZEV supply chain,  
3 expanding ZEV-related workforce opportunities,  
4 creating jobs and serving as local economic  
5 engines, and then continuing California's ZEV-  
6 related innovation leadership. The total  
7 workforce portfolio is growing. And we'll  
8 continue to embed equity principles and actions.

9           Next slide.

10           And shifting toward the specific  
11 discussion in this report, I have highlighted a  
12 few statements in the report that cause us to  
13 reflect on the workforce elements associated with  
14 EV charging.

15           Fundamentally, the report highlights the  
16 importance of developing a workforce to support  
17 charging infrastructure deployment. And the  
18 report recognizes the importance of aligning EV  
19 charging to other energy areas, such as renewable  
20 generation. It also acknowledges growth in the  
21 electrification of the medium- and heavy-duty  
22 vehicle sector. To underscores the importance  
23 and role of local planning entities. It rightly  
24 identifies training needs. And it articulates  
25 and values equity.

1           Next slide please.

2           California's EV's Charger Incentive  
3 Programs use funding to accelerate charger  
4 deployment. These funding programs have relied,  
5 in part, on the availability of a workforce with  
6 key occupations and skill sets, as identified  
7 here.

8           The figure noted here depicts a general  
9 sequencing of electric vehicle charging  
10 infrastructure with respect to project milestone  
11 activities. It is used to illuminate and capture  
12 the range of workforce elements that are  
13 fundamental to EV charging projects. In  
14 understanding the range of key occupations, it is  
15 important to also understand workload, workforce  
16 capacity, training and certification, job  
17 quality, regional employment differences, and  
18 contractor capacity and experience as well.

19           The other and dual purpose of this figure  
20 is to shed some light, not only on the workforce  
21 associated with EV charging, but how this  
22 workforce is also affected by other business  
23 opportunities?

24           CARB is in the process of approving a  
25 suite a clean transportation regulations. These

1 clean transportation technologies require  
2 electrified infrastructure to power vehicles and  
3 equipment. To date, we have seen implementation  
4 of the Innovative Clean Transit Rule, the  
5 Advanced Clean Trucks Rule, and current work for  
6 zero-emission transportation refrigeration units,  
7 or TRUs, zero-emission forklifts, and  
8 technologies in the marine sector. It becomes  
9 readily apparent that the state needs to  
10 monitor the EV charging workforce, especially  
11 given these other market and business  
12 opportunities.

13           In short, we must also future-proof our  
14 supply chains and our workforce.

15           Next slide.

16           There are other important considerations  
17 for this workforce that advance equity goals,  
18 implement new regulations for charger  
19 installations, scale charger infrastructure to  
20 new regulations and markets, implement  
21 recommendations of the state's workforce goals,  
22 and continue with training that advances markets  
23 and the technologies discussed over the last two  
24 days.

25           This concludes my comments. And we'll

1 now open up for comments and questions. Thank  
2 you.

3 MR. CRISOSTOMO: Just a reminder, if you  
4 have any questions, please raise your hand, we  
5 will un-mute you, or please feel free to chat  
6 them in the box. And this will cover both  
7 Larry's presentation and Raja's presentation.  
8 And I guess, also, the presentations from earlier  
9 today, if anything has come to you, or even  
10 yesterday. I know there was a question by Bob  
11 Coale that I wasn't sure how to respond to  
12 specifically.

13 But if you'd like to raise your hand,  
14 Bob, I'm happy to respond.

15 Here's a question from John Holmes from  
16 Paratelic Systems. "How can standards  
17 development organizations support workforce  
18 development, for example, UL?"

19 Larry, would you like to take that one  
20 on?

21 MR. RILLERA: Yeah. I think, John, thank  
22 you for your question. This intersection is  
23 important, not only to the EV charger discussion,  
24 but certainly I spend much more time on the  
25 vehicle side. And so there's a lot of

1 development on the technician training,  
2 regardless of the platform or the vehicle  
3 classification.

4           And I think that to the extent that you  
5 have some ideas that you might want to submit to  
6 where we can work on this integration would be  
7 helpful. Certainly on the manufacturing side,  
8 the other half or the other area of the Clean  
9 Transportation Program, there is some integration  
10 work going on there. But we'd certainly love to  
11 hear some specific feedback in areas where you  
12 think that it should be integrated.

13           MR. CRISOSTOMO: Let's move on. Next is  
14 from Bill Boyce. "I want to thank Larry for  
15 putting all those job types on the page. Very  
16 little of that has been organized on what I've  
17 seen before. This is a good list."

18           Thanks for your support, Bill.

19           MR. RILLERA: Yeah. Thanks Bill. I  
20 think, you know, this is a start. Part of the  
21 message in the report and the presentation is to  
22 recognize these key occupations and, certainly,  
23 the skill sets for not just the EV charging  
24 sector but looking at the other ZEV sectors  
25 where -- and markets where this will be really

1 apparent. And this workforce will be shifting  
2 around to accommodate deployments.

3 Thank you.

4 MR. CRISOSTOMO: Next is from Bob Coale.  
5 "There are some similarities between EV work and  
6 that previously employed in the CNG/LNG vehicle  
7 arena that might be worthwhile exploring."

8 MR. RILLERA: Yes. Thank you, Bob. I  
9 appreciate your comment.

10 There is a really great graphic inside  
11 CARB's Mobile Source Strategy that was released.  
12 And when you look at it, it shows the decline, if  
13 you will, in fossil-fueled and some of these old  
14 technologies and the vehicle populations for all  
15 the vehicle classes. But then you see, of  
16 course, which is the focus is in the increase in  
17 the ZEV market, the ZEV technologies, fuel cell  
18 hydrogen. And from my perspective and the  
19 workforce perspective, we are and will be in the  
20 transition between the natural gas, the fossil-  
21 fuel, while we're continuing to invest in the ZEV  
22 training and workforce development.

23 So this is the issue and the dilemma and  
24 the opportunity to transition off the existing  
25 workforce into a new area. And so LNG/CNG, as

1 you've mentioned here, especially for the  
2 heavier-duty vehicle classifications, will be  
3 important to address what is happening in the  
4 heavier-duty applications from ZEV. And that  
5 includes focus on the infrastructure part of the  
6 equation as well, which will intensify with  
7 respect to the knowledge and the skills that must  
8 be developed by the vehicle technicians.

9 Thank you.

10 MR. CRISOSTOMO: Again, if folks have any  
11 questions for not only Raja and Larry, we'll  
12 entertain questions from earlier in the  
13 presentations, so Micah, myself, Jeffrey, or even  
14 yesterday from Thanh, Tiffany, Matt, myself or  
15 Jeffrey, if anything else has come up.

16 Great. The next one is from Deborah Gay-  
17 Rigaud. "I am simply a U.S. citizen who is a  
18 California resident."

19 MR. RILLERA: I can take this one, Noel.

20 MR. CRISOSTOMO: Sure, Larry.

21 MR. RILLERA: Deborah says, "Thanks for  
22 the list of key occupations. Specifically to the  
23 scales needed for EV charger installation and  
24 manufacturer, and installation and maintenance,  
25 in what way are current curriculums at the

1 secondary community colleges and universities  
2 being developed to train such a workforce?"

3           Thank you for the question. I will note,  
4 the California's -- excuse me, the Clean  
5 Transportation Program's investments are  
6 specifically in this area. The Energy Commission  
7 has invested in career pathway development,  
8 starting with the institution of the development  
9 of ZEV curriculum at our high schools. And this  
10 started a couple years ago where they would learn  
11 the technologies, they would get the introduction  
12 to careers that are available in this sector, and  
13 then they could migrate, if they have an  
14 interest, to the community college system. And  
15 we've also invested in the community college ZEV  
16 curriculum development for both degrees,  
17 certificates and the like that have led to jobs,  
18 to good-paying jobs.

19           And then beyond that, we also have  
20 investments in partnerships with the colleges and  
21 the universities, both on the innovation, so the  
22 design and the architecture of these technologies  
23 for the further prototyping and commercialization  
24 of some of these technologies, but we've also  
25 seen some focus on design engineering on the

1 hydrogen side as well.

2           So I wanted to throw it out that the  
3 investments, the partnerships all across the  
4 board for EV charging, is in development and will  
5 continue in development, especially to the  
6 technologies, to the analytics that have been  
7 discussed over the last two days. This is very  
8 cutting edge. And California's educational  
9 system is ripe to pick this up and to turn it  
10 into a curriculum where we can train tomorrow's  
11 engineers and tomorrow's technicians.

12           Thank you.

13

14           MR. CRISOSTOMO: Next is from Andrew  
15 Larkin -- Andrew Larkins. Excuse me. "What do  
16 you see as the greatest challenge to the rapid  
17 adoption of EVs? Will charger availability limit  
18 growth rates?"

19           This might be a broad question that few  
20 of us have thoughts on.

21           Commissioner Monahan, do you want to  
22 start, if you'd like? I know you presented  
23 recently on the ACEEE electrification webinar and  
24 had some thoughts about three Cs.

25           COMMISSIONER MONAHAN: I do have some

1 thoughts about the three Cs. You can say them,  
2 Noel. So --

3 MR. CRISOSTOMO: Please. After you.

4 COMMISSIONER MONAHAN: -- well, I like to  
5 keep it simple. So, I mean, I think we have  
6 three major barriers, the three Cs, cost,  
7 convenience, consumer awareness. You know, the  
8 cost one is pretty simple, new vehicles cost  
9 more. And but we're seeing cost curves come  
10 down, so I'm actually pretty confident that the  
11 way the global market is moving on battery-  
12 electric vehicles that we'll see, in the next two  
13 to five years, these vehicles will be cost  
14 competitive.

15 The convenience factor, though, we still  
16 have some work to do. And I would put  
17 convenience into two categories. One is the  
18 convenience of refueling, so we need to make sure  
19 this is ubiquitous and -- you know, ZEV  
20 infrastructure is ubiquitous and easy to use.  
21 And no matter where you live, or whether you live  
22 in an apartment building or you live on a farm or  
23 you live in downtown, that you can conveniently  
24 refuel your vehicle.

25 But I would also say the convenience

1 factor means we need more vehicles that meet the  
2 needs of the diverse set of drivers and we don't  
3 have those. So we have -- I mean, we do have a  
4 growing number of battery-electric vehicles  
5 coming to market. Over the next, again, three to  
6 five years we'll see a lot more. And Noel  
7 referred to the Ford F-150 being electric, we'll  
8 see the Rivian trucks, we'll just see more  
9 variety out there in terms of the utility of the  
10 vehicle. And that will, I think, build the  
11 market.

12 I would say that the consumer awareness  
13 piece is actually quite challenging, more  
14 challenging than I thought it would be. But  
15 again, as we build the market, as we have more  
16 chargers available in places that people see, as  
17 people, you know, sit in electric vehicles and  
18 get comfortable with the technology, then I think  
19 we'll see, also, a broader set of consumers just  
20 being aware of these vehicles.

21 I'm very heartened by GM's recent  
22 statement that they are planning to meet  
23 California's goal of having all new passenger  
24 vehicles be electric by 2035. And you know, so  
25 we're seeing now that the automakers are seeing

1 the writing on the wall, that the future is  
2 electric and they need to invest in these  
3 technologies.

4           So you know, the combination, and I think  
5 we'll, over the next three to, you know, well,  
6 maybe five to ten years, I think we're going to  
7 knock off all those barriers and we will reach  
8 full commercialization of electric vehicles. But  
9 we've got to work hard, especially on building  
10 out that ZEV infrastructure, to be able to  
11 overcome the barriers.

12           I hope that responds to your question.

13           MR. CRISOSTOMO: And, Andrew, if you'd  
14 like to be un-muted and opine yourself? This is  
15 very much not just a we-have-all-the answers  
16 session. We'd like to hear from folks. So let  
17 me un-mute you. You should be un-muted.

18           MR. LARKINS: Yes. Hi. I'm Andrew  
19 Larkins from Sygensys. And I'm over here  
20 listening to you from the U.K. One of the key  
21 factors in the adoption of EVs is learning from  
22 other markets because there are differences  
23 between markets. And one of the key factors is  
24 no one can predict the future. So the more  
25 different markets you look at the greater the

1 chance that you come across how the market in  
2 your country or your region will develop in the  
3 future, which is the main reason I've been  
4 listening so attentively today.

5           So I would congratulate the presenters.  
6 It's been a fascinating session. And the speed  
7 of adoption and the balance between  
8 standardization, and therefore being able to  
9 provide broader access to infrastructure and  
10 market forces at the same time and providing  
11 space for innovation is absolutely key.

12           I think one of the key aspects is trying  
13 to avoid installed infrastructure which becomes  
14 orphaned in the future. That's technology which  
15 is no longer applicable. And the challenge is in  
16 providing that compatibility.

17           So I would really congratulate the group  
18 today on the proposed route forward. It sounds  
19 very well thought through in terms of the choice  
20 of the hardware.

21           I think as a bit of feedback, we all have  
22 a great deal more to do in terms of load profiles  
23 and exactly how it will work out. We're all  
24 trying to predict something that no one can know.  
25 And, therefore, having a broad range of

1 projections is really helpful.

2 So thanks for today.

3 MR. CRISOSTOMO: Thank you for calling  
4 in, in the evening. I definitely have worked  
5 with some of your -- or our counterparts at BEIS  
6 over there and seeing some of the same challenges  
7 with the U.K.'s proposed work on charging  
8 standardization, so definitely trying to leverage  
9 economies of scale and lessons from there too.  
10 So thank you --

11 MR. LARKINS: Yeah.

12 MR. CRISOSTOMO: -- for attending.

13 MR. LARKINS: And the path alongside that  
14 that we, particularly as a business, are looking  
15 at is resiliency of the system in terms of trying  
16 to ensure, under unusual circumstances, be it  
17 that role in blackouts, be it about storm events,  
18 that the system remains resilient and reliable as  
19 far as possible. And the one aspect I would say  
20 is do think about the interlinkage between  
21 communication and power system. With smart  
22 charging you are dependent on communication  
23 systems, as well as power, and you need to find  
24 mechanisms which are resilient in difficult  
25 conditions.

1           MR. CRISOSTOMO: Great. Thank you for  
2 raising that point. We know our Broadband Plan  
3 still requires us to make sure that everyone has  
4 access to high-speed communication.

5           Again, any questions that you'd like to  
6 further dig into, we're happy to. Staff from  
7 yesterday are active, as well as our colleagues  
8 from Berkeley Lab, NREL. So this is definitely an  
9 opportunity just to continue the discussion.

10           A question from Deborah. "This was a  
11 great informative session on both parts. I  
12 really appreciate the information outlined with  
13 the corresponding acronyms. Thank you so much for  
14 this."

15           Thank you for attending.

16           A question from Shrayas Jatkar. "For  
17 Larry, could you discuss priorities and/or  
18 differences between the key occupations listed,  
19 for example, highest labor demand and most  
20 challenging to recruit or hire?"

21           MR. RILLERA: Great. Thank you, Shrayas.  
22 I appreciate you attending and weighing on.

23           If we could back, Ray? Thank you.

24           I think the question around highest is  
25 going to be around what is in most -- in the

1 highest demand, and so probably looking at maybe  
2 some of the engineering positions. I know that  
3 at the local level now, planner positions are --  
4 have, you know, a tremendous bandwidth in  
5 priorities because it's not just chargers.  
6 There's a whole complex of projects they must  
7 review.

8           And certainly in the construction space  
9 as well. That is another area where it's very  
10 intensive during the project-development  
11 continuum where that will be key.

12           I want to make sure I'm capturing all  
13 your -- and responding to your questions here,  
14 Shrayas. Let me scroll down here.

15           And the challenging, in terms of  
16 recruitment, I think from my perspective, I'm not  
17 a business although I listen to the businesses  
18 talk about their hiring. In this space, some for  
19 the jobs in the private sector can be difficult  
20 to attract, to retain.

21           But I think one of the key lessons and  
22 points with respect to your question and  
23 integrated into the report is the identification,  
24 not just generally but specifically with respect  
25 to regions, I think we need to understand those

1 questions, the application of this sort of  
2 framework with respect to charger deployment  
3 throughout the state. It makes it look like  
4 there's just one lens in which to look through.  
5 But we need to understand, those questions,  
6 Shrayas, that you post with respect to  
7 communities in El Centro and Calexico, versus  
8 those that are in L.A. or urban areas like the  
9 Bay Area, and certainly the northern portions of  
10 this state, so those will all be the regional  
11 issues we deal with just within the charger  
12 markets and space.

13           Part of the report and part of the  
14 presentation also teases out these other markets  
15 and other opportunities with respect to oncoming  
16 clean transportation regulations that we also  
17 need to be aware of.

18           So thank you.

19           MR. CRISOSTOMO: Next question is from  
20 Margarita Parra from Clean Energy Works. "Thanks  
21 again for the discussion. It will be great to  
22 have intergovernmental discussions, CEC and PUC,  
23 in issues that relate to the consumers, like  
24 cost, since the lack of awareness, the last C, is  
25 related to the lack of practical information, not

1 just of the up-front cost but the operational  
2 costs in the long term. For heavy-duty the up-  
3 front cost is so high still that the operational  
4 costs and services, like V2X, will be key for  
5 affordability.”

6 Thank you, Margarita. Would you like to  
7 raise your hand and I can un-mute you to further  
8 elaborate upon this operational cost challenge?  
9 I know your colleague, Holmes, presented recently  
10 at a PUC workshop. And I believe some of our PUC  
11 colleagues on the TE Team are in attendance.  
12 And, also, ALJ Sisto, who held that workshop last  
13 week. I will un-mute you.

14 MS. PARRA: Thank you, Noel. I hope you  
15 can hear me. And thanks for --

16 MR. CRISOSTOMO: Yes.

17 MS. PARRA: -- the opportunity to listen  
18 to this very technical workshop and really trying  
19 to provide all the information to the public.  
20 This is amazing that we can actually do this.

21 I do believe that all the tools and all  
22 the regulations and the standardizations that you  
23 guys are discussing will be very important to  
24 really overcome these barriers that Commissioner  
25 Monahan, a friend of mine in the past, outlined,

1 which is the cost, the convenience and the  
2 consumer awareness. I do think that for  
3 segments, like heavy-duty, the cost is still much  
4 higher. And I think that cost priority is still  
5 further away from happening. So we have to work  
6 harder on issues like -- or factors like V2G or  
7 V2B so that maybe they can help offset that cost.

8           We've been doing some analysis that my  
9 colleague, Holmes, presented for school buses  
10 where the upfront cost is still three or five  
11 times more than the equivalent over diesel bus.  
12 And we really want to see more information. And  
13 maybe the pilots that California is pursuing will  
14 help to quantify those revenue streams for V2B or  
15 V2G so that they can be factored in on that  
16 operational cost and make it more affordable.

17           And when I asked the question about who  
18 set those rates and what the impact on those  
19 costs will be, and you mentioned PUC, then my  
20 suggestion is maybe to hold workshops together  
21 with them to ensure that we get more information,  
22 up-to-date information, with the two different  
23 proceedings that you guys are doing.

24           Thank you.

25           MR. CRISOSTOMO: Yes. Agreed. We work

1 closely with -- across Commissions. And while we  
2 didn't have a presentation on it, we do have a  
3 chapter on financing that raises these important  
4 points around improving business models and, yes,  
5 driving down the cost of electricity.

6 COMMISSIONER MONAHAN: And I just wanted  
7 to comment quickly.

8 Margarita, thanks for the question. Good  
9 to hear your voice again. And totally agree  
10 that, on the heavy-duty side, we need to look for  
11 ways to drive down cost. And it will be  
12 important over the long run to price VGI  
13 appropriately so that we set the right incentives  
14 that the charging happens at the right time of  
15 day, the owners are compensated for providing  
16 some kind of grid benefit back to us. And it  
17 gets even more interesting when we're talking  
18 about giving money -- I mean, giving money? --  
19 giving energy back to the grid, like through  
20 school buses and other applications.

21 So you know, Noel and the team are  
22 working hard and in collaboration with the CPUC  
23 on vehicle-grid integration. And we definitely  
24 agree with your recommendation that we need a  
25 partnership here.

1 MR. CRISOSTOMO: A comment from Shrayas  
2 Jatkar. "And thanks for addressing the  
3 importance of job quality."

4 Larry, would you like to add anything to  
5 that?

6 MR. RILLERA: Thank you, Noel.

7 Thank you, Shrayas. That is certainly an  
8 important dimension that we need to consider and  
9 will be considering with the release and focus on  
10 some just transition reports and others that will  
11 be coming out this year.

12 MR. CRISOSTOMO: We have a raised hand  
13 from Shiba Bhowmik.

14 Shiba, you should be able to un-mute  
15 yourself.

16 MR. BHOWMIK: Hi Noel. Can you hear me?

17 MR. CRISOSTOMO: Yes, we can.

18 MR. BHOWMIK: Give me a second. Sorry  
19 about that.

20 Yeah, I wanted to thank you and the team  
21 and Commissioner Monahan for taking the  
22 leadership or showing us the leadership with  
23 respect to V2G and VGI and everything that is  
24 related to vehicle adoption or electric vehicle  
25 adoption and making it more equitable.

1           This was fascinating over the last two  
2 days. And my apologies, I probably jumped the  
3 gun yesterday with respect to asking some  
4 questions. But it's always a learning experience  
5 whenever we listen to CEC and the process of the  
6 various different modeling that you have gone  
7 through and taking us to the next level.

8           Talking about the next level, with respect to  
9 convenience, we have heard from multiple -- the  
10 broader audience, and also some of the  
11 stakeholders, that V2G AC could have very  
12 meaningful impact, both in terms of EV adoption,  
13 utility load mitigation, and many other aspects  
14 of it far beyond V2G DC.

15           So my question would be with respect to  
16 that, I mean, if you could kindly give us a  
17 little broader perspective? And again, I  
18 apologize because I may not be fully up to date  
19 on all the standards that CEC already has in  
20 place and all the planning.

21           What are the overarching goals with  
22 respect to homogenizing VGI with respect to the  
23 V1G, V2G, V2X? I mean, you have so many  
24 different categories of vehicle integration with  
25 respect to the grid or without the grid, islanded

1 operation, non-islanded operation. If you could  
2 give a little broader perspective of where you're  
3 coming from? Number one.

4           Number two, along those lines, there are  
5 standards getting implemented for all the right  
6 reasons, possibly. But those doesn't necessarily  
7 encounter or take into consideration innovations  
8 that are already happening.

9           One particular case that came up is with  
10 respect to the gap analysis between some  
11 standards, between the UL standard and the AC  
12 standard, and you probably are aware of that,  
13 which mandated, essentially, like a splitting  
14 order of standard that is getting implemented in  
15 the two standards. It will only make it more  
16 complicated with the implementation.  
17 (Indiscernible) would have to match up with the  
18 EVSE and other aspects of it.

19           So can you guide us into your vision with  
20 CEC and how you're going to implement V2G AC with  
21 respect to both the convenience piece and all the  
22 various different aspects? They're two different  
23 questions that I had.

24           MR. CRISOSTOMO: I'll start taking a  
25 stab.

1           But, Jeffrey, feel free to jump in, given  
2 our work on the workshop from last week.

3           Or even, Matt, if you want to describe  
4 some of the ideas in BESTFIT.

5           So our vision, broadly, is to make sure  
6 that charging is available for everyone to meet  
7 their mobility needs as easily and cost  
8 effectively as possible using a wide range of  
9 solutions that we're seeing in the market. We  
10 think that the need for basic smart charging is  
11 essential and that, based on our observations of  
12 the manufacturers, that V2G is coming. And  
13 preparing for that optionality will be important  
14 to improve the resilience of our system. And the  
15 V2X examples that we provided offer a kind of  
16 inkling of what could come at a smaller scale for  
17 interconnected systems and interactive systems  
18 with the grid. And so I believe you attended  
19 that workshop on the 25th describing the V2B  
20 potential here.

21           MR. BHOWMIK: Yeah.

22           MR. CRISOSTOMO: And so we're very much  
23 interested in a widespread bidirectional future  
24 from building the capacity for storage necessary  
25 to integrate more vehicles. So that's high-level

1 perspective of where we're trying to go with  
2 smart charging.

3           In terms of a standards question and  
4 harmonization across SAE and UL, we understand  
5 that those AC questions are still in the  
6 standards development organization working groups  
7 where, from our workshop last week, we heard that  
8 those inverter zones need to still be addressed.  
9 And right now there isn't an answer. So that's  
10 really why the V2G AC proposal in the Rule 21  
11 decision from last September set forth the need  
12 for pilots to understand how we can move forward  
13 in a test case before the harmonization across UL  
14 and, say, SAE J3772 is complete.

15           So we're not taking any options off of  
16 the table. And as described in this bullet, we  
17 want to really clarify technical pathways but  
18 also, more importantly, the administrative  
19 pathways for as much charging to be well  
20 integrated with the system as possible.

21           MR. LU: Yeah. Briefly, Shiba, thanks  
22 for your question and comment.

23           To address your sort of split inverter  
24 question, like Noel said, our long-term vision is  
25 grid integrated, grid responsiveness, grid

1 interactive bidirectional charging, right, for  
2 all vehicles. How to actually get there, we  
3 don't have the path laid out entirely. When we  
4 presented earlier today about certain standards,  
5 such as ISO 15118, that mirrors a market  
6 readiness for us to say, okay, we want this to be  
7 the standard going forward.

8           In terms of split inverter or a single  
9 inverter system, a lot of those like UL/SAE  
10 standards are still being developed. We haven't  
11 seen market consensus on how to achieve that  
12 inverter topology. And so we don't have a good  
13 answer for what is our vision there. We can tell  
14 you the long-term vision. But in terms of the  
15 intermediate technical implementation, we still  
16 have to wait to see what folks, like yourself or  
17 other people in the market, actually come up  
18 with.

19           MR. BHOWMIK: Thank you so much.

20           MR. CRISOSTOMO: I believe we are a  
21 little bit over time. I'm just going to do one  
22 last call for comments or hands before we close.  
23 Oops. There we go.

24           All right, hearing none, just to close,  
25 the Staff Report and Staff Assessment is now open

1 for public comments to our dockets and electronic  
2 filing systems. I'd like to offer these both  
3 through the link. These presentations are  
4 online. And it's possible to receive comments  
5 via the docket. They will be due in about two  
6 weeks on the 26th. Please let us know if you  
7 have any specific questions.

8           With that, I'd like to offer some time  
9 for Commissioner Monahan to close the day and  
10 offer final thoughts and remarks.

11           COMMISSIONER MONAHAN: Thanks Noel.

12           Well, I just want to thank everybody for  
13 joining us today, and maybe for the folks that  
14 joined yesterday, as well, to give a special  
15 shoutout of thanks to them, and to the team. I  
16 mean, as you can tell, the whole team is really  
17 working hard to make sure that this is the best  
18 report and listening carefully to the feedback  
19 that we're getting.

20           And, you know, the goal is, really, to be  
21 able to use this as a starting point for helping  
22 to build out necessary ZEV infrastructure. And  
23 to do it in a way that is going to be best for  
24 the market in the long term, so, you know, open  
25 standards. Making sure that we have the right

1 set of standards in place to support the growing  
2 market, that is really going to be key to helping  
3 drive down costs and helping us as the lead  
4 agency responsible for helping built out the  
5 infrastructure do it in a way that makes the most  
6 sense.

7           So I just really appreciate this  
8 comment -- this workshop and encourage folks  
9 to -- if you haven't given your feedback  
10 verbally at this workshop, please do send us your  
11 comments in writing.

12           So I think that closes out our set of  
13 workshops. So thanks everybody. Hope you all  
14 have a good weekend and enjoy the sun.

15           (Off the record at 3:32 p.m.)

16

17

18

19

20

21

22

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of March, 2021.



PETER PETTY  
CER\*\*D-493  
Notary Public

**CERTIFICATE OF TRANSCRIBER**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



March 1, 2021

---

MARTHA L. NELSON, CERT\*\*367