

DOCKETED

Docket Number:	19-AB-2127
Project Title:	Implementation of AB 2127 Electric Vehicle Charging Infrastructure Assessments
TN #:	236971
Document Title:	Transcript 02-04-21 re Commission Workshop AB 2127 Electric Vehicle Charging Infrastructure Assessment
Description:	N/A
Filer:	Patty Paul
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	3/4/2021 9:22:18 AM
Docketed Date:	3/4/2021

CALIFORNIA ENERGY COMMISSION

In the matter of:

Assembly Bill 2127 Electric) Docket No. 19-AB-2127
Vehicle Charging)
Infrastructure Assessment)
_____)

COMMISSIONER WORKSHOP

AB 2127 ELECTRIC VEHICLE CHARGING
INFRASTRUCTURE ASSESSMENT

REMOTE VIA ZOOM

THURSDAY, FEBRUARY 4, 2021

1:00 P.M.

Reported by:
Peter Petty

APPEARANCES

COMMISSIONER

Patricia Monahan, Lead Commissioner on Transportation

CEC STAFF

Noel Crisostomo, Air Pollution Specialist

Raja Ramesh, Air Pollution Specialist

Thanh Lopez, Air Pollution Specialist

Tiffany Hoang, Air Pollution Specialist

Matt Alexander, Air Pollution Specialist

Jeffrey Lu, Air Pollution Specialist

CONSULTANTS TO CEC

Don Yeon Lee, National Renewable Energy Laboratory

Eric Wood, National Renewable Energy Laboratory

Alan Jenn, UC Davis

Cong Zhang, Lawrence Berkeley National Laboratory

Bin Wang, Lawrence Berkeley National Laboratory

PUBLIC COMMENT

Ray Pingle, Sierra Club California

Stephanie McGreevy, Open Energy Alliance

Bob Coale, Gladstein, Neandross & Associates

Marc Geller

Dean Taylor

Shiba Bhowmik, Sinewatts, Inc.

INDEX

	Page
1. Opening Remarks	4
2. Introduction	6
3. Counting Chargers	14
4. Charger Distribution Analysis (SB 1000)	18
5. EVI-Pro 2 and EVI-RoadTrip	38
6. WIRED	??
7. HEVI-LOAD	92
8. Off-Road Charging	128
Adjourn	150

P R O C E E D I N G S

1:01 P.M.

THURSDAY, FEBRUARY 4, 2021

MR. CRISOSTOMO: Welcome to the Lead
Commissioner Workshop on Assembly Bill 2127
Electric Vehicle Charging Infrastructure
Assessment at the California Energy Commission.
My name is Noel Crisostomo and we'll get started.

Note, please, that this Zoom webinar is
being recorded, both via Zoom which will be
posted on our website and via the Court Reporter,
so please be sure to state your name and
affiliation when participating in the interactive
sessions and engaging on questions and answer.
So, in the meantime, please feel free to use the
chat as Staff will be monitoring that. And we
are seeking your feedback. There's a great
amount of analysis that we'll be presenting. And
we'll enjoy engaging with those questions.

But before that, I'd like to introduce
Lead Commissioner on Transportation, Patty
Monahan, for some opening remarks.

Commissioner Monahan?

COMMISSIONER MONAHAN: Thanks Noel.

Well, I want to welcome everybody to this

1 workshop. And I'm very much looking forward to
2 hearing feedback on the draft analysis. I think
3 there was a lot of attention on the analysis,
4 even before the Governor issued his executive
5 order really calling for widespread
6 transportation electrification in the next 15-ish
7 years. And so now there's a lot more attention,
8 I think, to the question of what kind of ZEV
9 infrastructure are we going to need?

10 So this analysis that -- the team pivoted
11 very quickly when the Governor issued his
12 executive order to evaluate what the charging
13 needs will be in 2030, not just for the 5 million
14 target that we had under then Governor Brown, but
15 also for the new target which, according to CARB,
16 CARB estimates about 8 million ZEVs by 2030 will
17 be needed to meet the ramp-up that we need. And
18 this -- you know, and the numbers are -- I think
19 at this point it's early days in terms of both
20 CARB's analysis and our analysis.

21 The analysis is not just for light-duty,
22 but also medium- and heavy-duty. That's really
23 critically important to deliver air quality
24 benefits to, especially, disadvantaged
25 communities, but to all Californians. And so the

1 assessment -- I mean, at least the draft numbers
2 show pretty steep increase needed, so we'll need,
3 according to the draft, the numbers, again, about
4 1.5 million chargers by 2030 for passenger
5 vehicles, about 160,000 medium- and heavy-duty
6 vehicles. So, you know, this is a big ramp-up
7 from where we are today.

8 I actually don't want to hear myself
9 talk. I want to hear both the Staff
10 presentations and the comments. But we are -- I
11 will say that we're going to be paying close
12 attention to the comments that we receive,
13 adjusting when appropriate. And we want to
14 finalize this report by spring so that it can
15 be -- we can help the legislature and the
16 Governor's Office and the stakeholders and
17 everybody understand what it's going to mean to
18 meet these targets in terms of the ramp-up of ZEV
19 infrastructure.

20 So I'm going to turn it back over. I'm
21 not sure if it's Raja or Noel but I'll turn it
22 over to you. I'll go off video for now.

23 MR. CRISOSTOMO: To Raja.

24 Thanks Commissioner Monahan.

25 MR. RAMESH: You can go to the next slide

1 whenever you're ready. Great.

2 Good afternoon everyone. My name is Raja
3 Ramesh. I'm an Air Pollution Specialist in the
4 Fuels and Transportation Division of the CEC and
5 am one of the primary authors of the Assembly
6 Bill 2127 Electric Vehicle Charging
7 Infrastructure Report.

8 Thanks to Commissioner Monahan for her
9 opening remarks. After my introduction, Thanh
10 Lopez will present on counting chargers, an
11 effort tracking the current status of charging
12 infrastructure in California. Then Tiffany Hoang
13 will present on Senate Bill 1000 which analyzes
14 the distributional deployment of chargers. This
15 will be followed by a break until 2:05, after
16 which Matt Alexander will present on EVI-Pro 2
17 and EVI-Pro RoadTrip models which assess the
18 charging needs for a non-transportation network
19 company passenger vehicle trips. Then Alan Jenn
20 will present on WIRED which models charging needs
21 for transportation network company trips. We'll
22 have another break until 3:40, after which Noel
23 Crisostomo will be present on HEVI-LOAD which
24 models charging needs for medium- and heavy-duty
25 vehicles. We'll conclude with a presentation

1 from Jeffrey Lu on off-road charging needs and
2 adjourn at 4:30.

3 Next slide please.

4 Despite progress reducing statewide gas
5 emissions, California's transportation-related
6 emissions now contribute more than half of the
7 state's GHGs. And emissions have been trending
8 up since 2012. Transportation is a major source
9 of the state's air pollution, contributing nearly
10 80 percent of smog-forming nitrogen oxides and 95
11 percent of toxic diesel particulate matter. To
12 achieve the state's long-term air quality and GHG
13 emission goals, California must rapidly
14 transportation towards the widespread use of
15 zero-emission vehicles powered by clean energy.

16 Next slide.

17 Transitioning to ZEVs requirements
18 charging infrastructure. The goal of the 2127
19 assessment is to determine the charging
20 infrastructure needed to support the following
21 goals in particular.

22 From Assembly Bill 2127, by 2030 at least
23 5 million ZEVs on California roads, and reduce
24 greenhouse gas emissions to 40 percent below 1990
25 levels.

1 From Executive Order N-79-20, by 2035,
2 100 percent ZEV sales for new passenger vehicles
3 and, where feasible, 100 percent ZEV operations
4 for drayage trucks and off-road vehicles and
5 equipment, by 2045, 100 percent ZEV operations
6 for medium- and heavy-duty vehicles, where
7 feasible.

8 Next slide.

9 CEC's charging infrastructure models
10 CEC's IEPR Transportation Energy Demand Forecast
11 and CARB's Mobile Source Strategy Modeling as key
12 inputs to connect the state's ZEV deployment
13 goals to charging infrastructure demand through
14 2030.

15 This graph shows the recent 2020 mid-case
16 transportation demand forecast in blue which
17 reflects market conditions. And the CARB Draft
18 Mobile Source Strategy scenario in yellow which
19 takes a policy achievement approach, considering
20 Executive Order N-79-20, among other policy
21 goals. This report addresses public and shared
22 private infrastructure needs to support both the
23 statutory goal of 5 million ZEVs by 2030, shown
24 as a green triangle in the middle of the slide,
25 and the trajectory needed to achieve the goals

1 outlined in yellow, N-79-20, including 8 million
2 ZEVs by 2030, shown as a green star in the middle
3 of the slide. We will also discuss initial work
4 since the publication of the draft report on
5 charging infrastructure needs in 2035.

6 Next slide.

7 This report considers the current status
8 of charging infrastructure, as well as the future
9 need for it. The existing charger section covers
10 CEC tracking of current and planned
11 installations, as well as some of the findings in
12 the recently released SB 1000 Disproportional
13 Deployment Assessment. The future charger
14 section covers several quantitative charging
15 infrastructure demand models that the CEC has
16 developed through contracts. EVI-Pro 2 covers
17 general light-duty electrification. RoadTrip
18 covers long-distance trips. WIRED covers ride-
19 hailing trips. HEVI-LOAD covers medium- and
20 heavy-duty electrification. And a future
21 analysis will cover off-road, port, and airport
22 electrification. The report covers this last
23 category qualitatively. The topics mentioned so
24 far will be covered today, the first day of our
25 two-day workshop.

1 Across all vehicles sectors the CEC is
2 tasked with looking at charging hardware and
3 software, make-ready electrical equipment, and
4 other programs to accelerate the adoption of
5 electric vehicles. The needs in these categories
6 are assessed in the latter part of the report and
7 will be discussed tomorrow.

8 Next slide.

9 These are seven actions the report
10 identifies as being needed to support widespread
11 and rapid deployment of charging infrastructure.
12 And, broadly, they can be grouped into three
13 categories.

14 First, continuing efforts to publicly
15 fund and model charging infrastructure, bullets
16 one and two.

17 Second, supporting an innovative and
18 equitable best-fit approach that results in
19 effecting charging solutions for all Californians
20 based on needs identified by communities in the
21 state, bullets three, four and five.

22 And third, prioritizing vehicle grid
23 integration and standardized charging and
24 communication protocols across all charging
25 infrastructure in California to align charging

1 with the renewable generation, decreased cost and
2 impact on the grid, minimize the number of
3 chargers needed, and make charging convenient and
4 easy to use.

5 Next slide.

6 Here's a brief timeline of the
7 development of the report. We published the
8 Staff Report version of this assessment on
9 January 7th. We're currently holding a workshop
10 on this Staff Report where we'll also discuss
11 additional modeling out to 2035. By spring of
12 this year, we'll submit revisions and publication
13 of Commission Report at a -- to a business
14 meeting. And then ongoing in 2021, we'll have
15 Staff and Consultant Methodology Reports. The
16 report will be updated every two years.

17 Next slide.

18 Thanks to contributors from three CEC
19 divisions who have written about their
20 significant independent research stemming from a
21 range of efforts in this report. Thanks, also,
22 for analytical expertise from the National
23 Renewable Energy Laboratory, Lawrence Berkeley
24 National Laboratory, and University of California
25 Davis, as well as coordination with the Stanford

1 University, Pacific Northwest National Lab, and
2 Argonne National Laboratory. Interagency
3 coordination with the California Public Utilities
4 Commission, the California Air Resources Board,
5 Caltrans, and the South Coast Air Quality
6 Management District were all essential to this
7 report as well.

8 Next slide please.

9 We'd also like to thank stakeholders
10 across industry, advocacy and government who --
11 especially for their participation in our
12 workshops, ranging from stakeholders representing
13 investor-owned utilities, publicly-owned
14 utilities, auto manufacturers, electric vehicle
15 service providers, charger manufacturers,
16 environmental groups, environmental justice
17 groups, and local jurisdictions.

18 Next slide please.

19 Thanks for attending. Here are emails of
20 today's presenters and a link to our web page
21 where you can read the full report and get more
22 information. The first opportunity for questions
23 and comments will be after Matt Alexander's
24 presentation. Thanks.

25 Back to you, Noel.

1 MR. CRISOSTOMO: Thanks Raja.

2 We'll now have Thanh Lopez, Air Pollution
3 Specialist in the Fuels and Transportation
4 Division, discussing efforts to count chargers.

5 Thanh?

6 MS. LOPEZ: Thank you, Noel.

7 Good afternoon everyone. My name is
8 Thanh Lopez, Staff in the Fuels and
9 Transportation Division. I lead up the counting
10 chargers effort at the Energy Commission. I'll
11 be providing some background on the effort, the
12 method, and the results.

13 Next slide please.

14 The purpose of the counting chargers
15 effort is to get an aggregated count of public
16 and shared private chargers in California. This
17 allows us to track progress towards the state's
18 250,000 charger goal, including 10,000 direct-
19 current fast chargers by 2025. Having this
20 accurate data on public and shared private
21 chargers in California is needed to determine if
22 there is enough infrastructure to serve driver
23 demand and meet the state's charger goals, as
24 well as inform and improve public and private
25 investment decisions for charging infrastructure.

1 Staff currently uses the Alternative
2 Fuels Data Center, or AFDC, Station Locator
3 Database to track publicly available chargers in
4 the state. This data is combined with shared
5 private charger counts obtained through quarterly
6 voluntary surveys to network providers, utilities
7 and public agencies. Shared private chargers are
8 those that are shared by employees, tenants,
9 visitors that aren't usually available to the
10 general public.

11 Combining the data collected through the
12 quarterly surveys and the data from the AFDC
13 Station Locator, Staff is able to share this
14 information through the public-facing Zero
15 Emission Vehicle and Infrastructure Dashboard,
16 which I'll talk more about later in a later
17 slide.

18 I will note that private chargers that
19 are privately owned and operated, usually
20 dedicated for a specific driver or vehicle, such
21 as a charger installed in the garage of a single-
22 family home, is excluded from this effort as the
23 250,000 charger goal focuses on chargers that are
24 shared use.

25 Next slide please.

1 Accurately quantifying the total number
2 of electric vehicle chargers in California was
3 difficult, in part due to the various terminology
4 used by different entities, does cause issues
5 such as double counting, counting stations versus
6 connectors or ports, and preventive reliable data
7 comparisons when looking at data shared between
8 agencies. As part of this effort, CEC Staff
9 coordinated with other sister agencies and the
10 National Renewable Energy Laboratory to ensure
11 consistent terminology and counting methods were
12 used to gather charger counts. This ensures
13 alignment in how chargers are counted in the AFDC
14 database for public chargers and how the CEC
15 counts shared private chargers to accurately
16 measure progress for the state's EV charger
17 goals.

18 Next slide please.

19 Here is a screenshot of the Zero Emission
20 Vehicle and Infrastructure Statistics Dashboard.
21 Through collaboration with the Energy
22 Assessment's Division here at the Energy
23 Commission, Fuels and Transportation Division
24 staff was able to collaborate and create this
25 public-facing dashboard to provide data on zero-

1 emission vehicles and infrastructure. The
2 dashboard shares the sales and population of
3 light-duty zero-emission vehicles, the number of
4 EV chargers serving light-duty electric vehicles,
5 and also the number of hydrogen stations in
6 California.

7 Here, you can see the EV Charger
8 Dashboard shows over 67,000 public and shared
9 private chargers in California. The data is
10 broken out at the county level, technology level,
11 and by access, so public or shared private. This
12 dashboard is updated on a quarterly basis, with
13 the exception of the vehicle population which is
14 updated annually.

15 Next slide please.

16 So in addition to tracking the existing
17 number of chargers in California, CEC Staff is
18 also analyzing the charger needs for 1.5 million
19 zero-emission vehicles in 2025 and 5 million
20 zero-emission vehicles in 2030. Modeling results
21 project that the state will need 968,000 public
22 and shared private chargers in 2030 to support 5
23 million zero-emission vehicles, and over 1.5
24 million public and shared private chargers to
25 support 8 million zero-emission vehicles. Here

1 on the chart you can see the green bars indicate
2 the chargers needed for 5 million zero-emission.
3 And the blue bars represent the additional
4 chargers needed for 8 million zero-emission
5 vehicles.

6 As mentioned in the previous slide, there
7 are nearly 67,000 public and shared private
8 chargers available across the state as of the end
9 of Q3 2020. Based on information collected on
10 known proposed charging investments from other
11 key funding mechanisms, such as state programs,
12 utility investments, and settlement agreements,
13 Staff projects over 121,000 chargers deployed by
14 2025. This means the state will need 780,000
15 more chargers than already installed and planned
16 to meet the 968,000 chargers needed to support 5
17 million zero-emission vehicles, and over 1.3
18 million more chargers to meet the projected need
19 to support 8 million zero-emission vehicles.
20 Continued public support for charger deployment
21 will be essential to help meet the state's zero-
22 emission vehicle goals.

23 I'll go ahead and hand it off to the next
24 speaker, Tiffany, to talk about existing charger
25 distribution analysis.

1 MS. HOANG: Thank you, Thanh.

2 Good afternoon everyone. My name is
3 Tiffany Hoang. I'm an Air Pollution Specialist
4 in the Fuels and Transportation Division leading
5 the Senate Bill 1000 analysis on plug-in electric
6 vehicle charging infrastructure deployment.

7 Next slide please.

8 Today, I'll be providing some background
9 on SB 1000, going over our objectives for the
10 first year of analysis, showing results from this
11 first year, and I'll end with a discussion of
12 next steps for the analysis.

13 Next slide please.

14 SB 1000 was enacted in 2018 and directs
15 the CEC to assess whether plug-in electric
16 vehicle charging infrastructure is
17 disproportionately deployed by population
18 density, geographical area, or population income
19 level. This includes assessing whether DC fast
20 charging stations are disproportionately
21 distributed and whether access to these charging
22 stations is disproportionately available.

23 The analysis, which will be ongoing until
24 Clean Transportation Program funding ends, will
25 identify whether disparities in public EV

1 charging access exist. Results will help inform
2 the CEC's Clean Transportation Program
3 investments on light-duty EV charging
4 infrastructure. Staff recently published a final
5 report with methodology and results from this
6 first year of analysis.

7 A link to the report is provided on this
8 slide which can be downloaded from the workshop
9 events page and is also available on the 2127 web
10 page under the reports menu. Results are
11 summarized in the 2127 Report. And future
12 results will be referenced in the Clean
13 Transportation Program investments and updates.
14 Written comments on the analysis can be submitted
15 to the AB 2127 docket through February 26th, or
16 anytime to the SB 1000 docket. We welcome
17 feedback and participation throughout the
18 analysis.

19 Next slide please.

20 As I mentioned, the analysis is conducted
21 as part of the development of the Clean
22 Transportation Program Investment Plan and will
23 continue until the program ends. Our objectives
24 for this first round were to define income
25 levels, which include low, middle and high income

1 levels, population density, and geographical area
2 to evaluate statewide public charger numbers by
3 location and population characteristics, as well
4 as to begin to address factors that explain the
5 deployment observed. In the next few slides I'll
6 cover key results from this first assessment.

7 Next slide please.

8 These maps show residential population
9 per square mile, PEVs registered per square mile,
10 and public Level 2 and DC fast chargers per
11 square mile by county. Population counts are
12 from the U.S. Census Bureau. Our PEV counts are
13 from the California Department of Motor Vehicles.
14 And our charger counts are from the Alternative
15 Fuels Data Center as of July 2020. As you can
16 see, plug-in electric vehicles, public chargers,
17 and population tend to be correlated which
18 results in uneven geographic distribution of
19 chargers.

20 Next slide please.

21 In addition to geographic distribution,
22 we assessed income distribution of chargers.
23 Analysis indicates that there is no correlation
24 between per-capita chargers and census tract
25 median household income. But when we binned

1 these into three income categories, as shown on
2 this slide, differences appear. Low-income
3 communities, on average, have the fewest public
4 Level 2 chargers and high-income communities have
5 the most. Middle-income communities, on average,
6 have the most DC fast chargers per capita and
7 high-income communities have the least.

8 Next slide please.

9 The map to the right shows low-income
10 communities in a light shade of blue, middle-
11 income communities in that darker shade of blue,
12 and high-income communities in purple. More than
13 half of the state's population lives within a
14 low-income community which are defined as census
15 tracts with medium household incomes at or below
16 80 percent of the statewide median income or with
17 median household incomes at or below the limit
18 designated as low-income by the Department of
19 Housing and Community Development, so the HCDs,
20 list of state income limits.

21 The HCD assess income limits by county
22 and household size. Approximately 23 percent of
23 Californians live in middle-income communities
24 which are census tracts with median household
25 incomes between 80 and 120 percent of the state

1 median income, or between the low and moderate
2 income limits established by the HCD. And about
3 21 percent of Californians live in high-income
4 communities which are census tracts with median
5 household incomes above 120 percent of the
6 moderate income limit.

7 Next slide please.

8 At the county level, public chargers are
9 generally collocated with population and PEVs.
10 But at finer scales, we see that other factors
11 appear to affect public charger locations,
12 particularly land use. Public chargers tend to
13 be located in census tracts with lower
14 residential population density and more
15 commercial land uses. There are fewer public
16 chargers in high-population density census tracts
17 that are smaller and, predominantly residential.

18 Next slide please.

19 Public charging infrastructure
20 investments and deployments could be designed to
21 serve low-income communities and high-population
22 density neighborhoods to enable more
23 proportionate infrastructure deployment. The
24 analysis we've conducted so far considers
25 location of public Level 2 and DC fast charging.

1 More analysis is needed to understand access to
2 charging. Access may include home chargers,
3 where the majority of charging takes place, or
4 workplace charging. It may also include looking
5 at distance and drive times to public charging
6 stations.

7 An objective for this year's analysis, so
8 the 2021 analysis, is to evaluate public charging
9 access beyond charger numbers and locations. We
10 also plan to expand the analysis to include urban
11 and rural areas, dwelling types, and combinations
12 of these to provide better characterization of
13 communities and access. The goal is to identify
14 communities with low public charging access based
15 on charger availability and provide information
16 and opportunities for deployment. We welcome
17 input from you all throughout the analysis as we
18 assess how to make charging infrastructure more
19 accessible for all Californians.

20 This concludes my portion of the
21 workshop. Thanks everyone.

22 Back to you, Noel.

23 MR. CRISOSTOMO: Thanks Thanh and
24 Tiffany.

25 We're, actually, very much ahead of

1 schedule, so maybe we could actually seek any Q&A
2 since we're about 20 minutes ahead.

3 So we can see folks raising their hands.
4 And let me scroll to that. And we can un-mute
5 you.

6 Ray Pingle, you should be allowed to
7 talk.

8 MR. PINGLE: Great. Thank you, Noel.
9 This is Ray Pingle from Sierra Club California.

10 First of all, I just want to commend
11 Commissioner Monahan, you and the entire CEC team
12 that's worked on this document. I think it's
13 just phenomenal. I mean, the quality, the
14 comprehensiveness of all the work you've done
15 analytically, strategically, and with vision is
16 tremendous. And I think what you're doing here
17 is taking the first major step to create, really,
18 the cookbook for the state and the nation on our
19 to successfully plan for and implement and use
20 technologies properly to maximize infrastructure.
21 So, again, thank you so much for this awesome
22 job.

23 I just have one question. And I know
24 that the -- on the counting chargers, it
25 specifically excludes private chargers, like in

1 garages, because it's driven by the 250,000 goal.
2 But independent of the goal, when we want to look
3 at how many chargers do we need to support, and
4 we would recommend the goal for 2025 should be
5 not 250,000 but to support 2.6, not the 1.5
6 million cars that was in Governor Brown's
7 executive order, but a 2.6 million that would be
8 in the mobile source strategy.

9 So it seems to us that it would be
10 helpful to have an idea of how many EV owners do
11 have access to domestic charging to understand,
12 you know, how much of the charging need is met
13 with private chargers versus how much would have
14 to be met with public chargers?

15 So any comments on that?

16 MR. CRISOSTOMO: Sorry Ray. You cut out
17 for maybe five seconds on my end. Did you --
18 were you suggesting that we remodel a 2.5 million
19 ZEV deployment by 2025 instead of or in addition
20 to the 1.5 goal?

21 MR. PINGLE: Yes. Two things. One is to
22 model 2.6 million cars by 2025.

23 And then, secondly, in order to determine
24 how much public charging that you need, that you
25 would look at -- you would need to understand how

1 many privates there are out there. Because if
2 there's not enough private charging, then the
3 assumption is you would need more public
4 charging.

5 MR. CRISOSTOMO: Yes. So first, thank
6 you for the suggestion on the 2.5 million
7 scenario. As Matt Alexander will describe in the
8 following presentation related to EVI-Pro 2, we
9 are analyzing a set of different ZEV populations
10 and can take that suggestion into our work
11 planning for the revisions. So thank you for
12 that.

13 In terms of your second question with
14 related -- with the relation to public charging,
15 Matt will also describe how the kind of
16 substitution effect between home charging and
17 public charging is really a great, major factor
18 in determining the relative deployments of the
19 network. So maybe we can examine that in more
20 detail after Matt's presentation, if you don't
21 mind?

22 MR. PINGLE: Great. Happy to.

23 MR. CRISOSTOMO: And, Ray, for the Court
24 Reporter and for everyone, do you mind, please,
25 offering your affiliation for the record?

1 MR. PINGLE: Yeah. So I'm with Sierra
2 Club California. Thank you, Noel.

3 MR. CRISOSTOMO: Thanks Ray.

4 Let's go to Q&A, just in chronological
5 order. From Steph, "Is CEC open to public-
6 private opportunities?"

7 Steph, if you want to raise your hand, I
8 can un-mute you and you can clarify your
9 question, if you'd like?

10 MS. MCGREEVY: Hi. Can you hear me okay?

11 MR. CRISOSTOMO: Yes.

12 MS. MCGREEVY: Hi. I'm Stephanie
13 McGreedy with Open Energy Alliance.

14 Yeah, the question pertains to the
15 amounts that are being proposed. As we all know,
16 that will just barely touch the tip of the
17 iceberg when it comes to covering costs for,
18 whatever, DC charging, networks, ports, hubs.
19 You know, there's a lot of work to be done.

20 And so my question to you is: Is the CEC
21 open to working with the private sector to bring
22 in funds for own-operate opportunities?

23 MR. CRISOSTOMO: Yes. The Clean
24 Transportation Program has a variety of
25 incentives that are offered across different

1 vehicle segments, so not just the light-duty ones
2 that were the focus of our first two
3 presentations but, also, for medium- and heavy-
4 duty vehicles, as well as off-road vehicles. So
5 the Clean Transportation Program is very much one
6 of the premiere opportunities for public-private
7 partnerships. And we can send a link around for
8 more information about the Clean Transportation
9 Program, if you'd like?

10 MS. MCGREEVY: Yes, we'd like that.

11 Thank you.

12 MR. CRISOSTOMO: Randy Chinn, I think
13 Thanh is going to take that question.

14 MS. LOPEZ: Yes. Thanks Noel.

15 Randy Chinn asked, "How do you account
16 for Tesla charging stations?"

17 So Tesla chargers are included in the ZEV
18 dashboard charger counts. We get both the public
19 Tesla charger counts and the shared private Tesla
20 counts throughout AFDC and the survey process.

21 MR. CRISOSTOMO: Great. Thanks Thanh.

22 From Messay Betru, Tiffany, are there
23 updates to the 1000 Report regarding equity?

24 MS. HOANG: Yeah. Thanks for that
25 question, Messay. So we are continuing to conduct

1 this analysis. And any updates will be provided
2 within the Clean Transportation Investment Plan.
3 So, for example, we're looking at charging
4 access. And some metrics that we're looking at
5 for charging access are looking at things like
6 drive times from different community centers, so
7 population centers to the nearest charger, and
8 things like that.

9 MR. CRISOSTOMO: Great. The next
10 question is from John Holmes.

11 John, would you like to un-mute yourself
12 and identify your affiliation?

13 "Will part of the forthcoming task work
14 be focused on studying the methods for
15 distribution planning and the potential for VGI
16 applications to be incorporated into these
17 planning methods?"

18 Yes, that -- those two topics will be
19 included during three presentations on our second
20 day regarding the EVSE Deployment and Grid
21 Evaluation tool equal great integration
22 applications broadly and also control strategies
23 from equipment hardware and software from my
24 colleagues, Micah, Jeffrey and myself tomorrow.
25 So we are focusing on the network deployments

1 today but we'll be delving deep into those topics
2 tomorrow.

3 Thank you, John.

4 And then Sean Tiedgen -- oh, sorry. I'm
5 getting a suggestion to take the caller first, in
6 terms of order. Let me un-mute the caller ending
7 903. I believe you are un-muted.

8 MR. COALE: (Feedback.) (Indiscernible.)
9 My name is Bob Coale. I'm with Gladstein,
10 Neandross & Associates.

11 The mere count of charging stations
12 misses the point somewhat because of the variety
13 of receptacles required for various vehicles, as
14 well as the location of the plugin. Some are
15 front, some are back, left of right. And when we
16 get to very large vehicles, access alone to a
17 charging port becomes very difficult. I'd like
18 someone to address how that addresses the actual,
19 just the pure county?

20 MS. HOANG: Yeah. Thanks for that
21 question. I can -- I think I'm getting some
22 feedback in the mike. I can address that
23 question.

24 So this is going to be an ongoing
25 analysis. And so for the first year of

1 assessment, we wanted to provide the kind of
2 high-level overview in terms of EV counts. And
3 this was an attempt to try to meet the language
4 within the statute that asks us to look at the
5 distribution of chargers by population density
6 and other population characteristics.

7 Moving forward we will be, you know,
8 defining other metrics of access. And one of
9 those components includes looking at, for
10 example, drive times to a public charging station
11 from where a person lives. In the future, we may
12 be able to do analysis looking at, you know, how
13 vehicles connect to chargers. So this is going
14 to be an ongoing analysis. And we'll be looking
15 at different components of access in the future.

16 MR. CRISOSTOMO: Yeah. And I'll add to
17 that.

18 Interoperability is a key factor that
19 effects network size. And we'll be focused on
20 charging interface interoperability in a few of
21 the presentations, first on Road-Trip. And then
22 later, on the next day, your point around the
23 connector and inlet locations across different
24 vehicle models is not yet accounted for in our
25 count analysis. So it's possible that there is

1 going to be some potential for increasing numbers
2 of the manufacturers who are making the ports in
3 a way that's well replaced. But, hopefully, the
4 EVSE manufacturers are working along with the
5 OEMs to make sure that the sites are well set up.

6 Thanks for your question.

7 So let's go to Sean Tiedgen.

8 Raja, did you want to take that one on?

9 MR. RAMESH: Sure. So I'll take the
10 question in three parts.

11 So the first part is how does CEC intend
12 to use this analysis to inform future
13 investments?

14 So CEC talks about some financial
15 considerations and business model considerations
16 in the penultimate chapter of the report, so you
17 can look there for some suggestions. But there
18 are sort of a myriad of ways the analysis could
19 be used to inform future investments. EVI-Pro 1,
20 a sort of precursor to some of the modeling in
21 the report was used to inform the investments in
22 the CALeVIP program, part of the Clean
23 Transportation Program.

24 Moving on to the second question, is the
25 analysis considering the economic needs to

1 provide charging stations in rural, less dense
2 areas where many people would travel or recreate
3 post-COVID?

4 So the analysis considers -- uses a
5 charging demand -- or a transportation demand
6 forecast to determine where charging may be
7 needed geographically and uses that to assess
8 charging needs. And so we'll discuss that in
9 greater depth later this afternoon.

10 And finally, for the third part, also,
11 are you talking with the Public Utilities
12 Commission to consider the utility impact where
13 it needs to provide the estimated number of
14 chargers?

15 We've shared the results of our analysis
16 with the PUC. And they were developed with the
17 PUC's input, in particular, the EVSE Deployment
18 Grid Evaluation tool, EDGE, that CEC is
19 developing, has been shared with the PUC in terms
20 of the impact on distribution grids and how that
21 tool could be used there.

22 Thanks for your question.

23 MR. CRISOSTOMO: Yes. And please tune in
24 for more about EDGE tomorrow at around 1:00 p.m.

25 And Thanh was going to take Bonnie's

1 question.

2 MS. LOPEZ: Yes, Noel.

3 So Bonnie asked, "Since Tesla chargers
4 are proprietary to Tesla users, how has this
5 study accounted for it in terms of public charger
6 counts? What percentage of public chargers in
7 California are Tesla chargers, according to the
8 study?"

9 So based on the Q3 public charger figures
10 there were over 27,000 public chargers, that's
11 Level 1, Level 2, and DC fast. Tesla
12 superchargers and destination chargers accounted
13 for over 4,500 of those, so about 16 percent of
14 the public charger counts.

15 MR. CRISOSTOMO: Thanks Bonnie.

16 MS. HOANG: And then --

17 MR. CRISOSTOMO: Go ahead.

18 MS. HOANG: So I can --

19 MR. CRISOSTOMO: Hi Tiffany.

20 MS. HOANG: -- go ahead and take Ben's
21 question here.

22 So Ben Wender asked, "Can you talk about
23 the challenges in data needed to get better
24 understanding -- to get a better understanding of
25 the distribution of chargers within the counties,

1 i.e. greater (indiscernible)? Thanks for the
2 great work.”

3 So, yes, so for the SB 1000 analysis,
4 this is very much an equity analysis where we’re
5 looking at access by different communities. And
6 so a part of looking at that is to get the -- go
7 down to the census tract level, perhaps down to
8 even the block or block-group level, for example,
9 to look at urban and rural areas.

10 And so we do, you know, need data that’s
11 provided in high resolution. And that gets to
12 kind of that need for that level of detail for us
13 to assess then what access may look like for that
14 particular community. And so with this first
15 analysis, you know, we look at public charging
16 stations. And based off the availability of data
17 there are some limitations in terms of looking at
18 access to, for example, shared private chargers
19 or private charging. And so there’s, you know,
20 that fine balance between aggregating data and
21 then looking at data more finely in high
22 resolution levels to get meaningful results.

23 MR. CRISOSTOMO: Great. Thanks Tiffany.

24 And I’m realizing, probably, for the
25 Court Reporter, this would help if we were to

1 read the questions out.

2 Karim Farhat from ENGIE, "Thank you for
3 this great effort by the CEC. The study seems to
4 separate DC/FC from the rest of public charging.
5 Two questions.

6 "One, does this mean that the current
7 group labeled as public chargers are AC L2
8 chargers only?"

9 Karim, if you're referring to this graph,
10 yes, the public chargers are Level 2 exclusively.
11 And then DC fast are excluding L2.

12 And then two, "Will there be a discussion
13 on the assumptions around what use cases and
14 demand is fulfilled by public L2 versus these
15 cases where demand is fulfilled by public DC FC?"

16 Yes. We will dive right into that with
17 Alexander's following presentations that were the
18 source of this waterfall chart momentarily.

19 Let's see. Are there any other
20 questions? It looks like no hands of typed
21 questions.

22 So we can take our break early if folks
23 are okay with that? Let's stick to a ten-minute
24 break. We did not anticipate going through
25 questions so quickly but there's definitely a lot

1 of content to come. So why don't we have a ten-
2 minute break from 1:45 to 1:55 and we'll resume
3 then.

4 (Off the record at 1:45 p.m.)

5 (On the record at 1:55 p.m.)

6 MR. RAMESH: Everyone, it's 1:55. Before
7 moving to our next presentation, we just wanted
8 to open up the opportunity again for any
9 questions. Otherwise, we can begin with Matt's
10 presentation. So I'll wait a few moments for
11 anyone to raise their hand or add a question in
12 the Q&A. Otherwise, we will continue to the next
13 presentation.

14 (Pause)

15 MR. RAMESH: Okay. Let's move on then.
16 So I'll now hand it over to Matt Alexander.

17 MR. ALEXANDER: Okay. Thank you, Raja.

18 Good afternoon everyone. My name is Matt
19 Alexander. I'm an Air Pollution Specialist in
20 the Electric Vehicle Infrastructure Unit in the
21 Fuels and Transportation Division. I lead our
22 light-duty modeling efforts here in the Fuels and
23 Transportation Division. And I'm going to be
24 talking about two models today, EVI-Pro 2 and
25 EVI-RoadTrip.

1 Next slide please.

2 So I'll start with EVI-Pro, which is a
3 simulation model that estimates the charging
4 demand from light-duty plugin electric vehicles
5 for intra-regional travel, and then designs the
6 supply of charging infrastructure capable of
7 meeting this charging demand.

8 It's important to note that for our
9 modeling, we consider vehicles with gross weight
10 ratings under 10,000 pounds to be light-duty.

11 The key outputs from EVI-Pro include the
12 number, type and location of chargers required to
13 meet charging demands, as well as the load
14 profiles associated with this charging demand.
15 EVI-PRO was originally developed in 2016 through
16 a collaboration between the CEC and National
17 Renewable Energy Laboratory. And the results
18 from this first analysis informed Executive Order
19 B-48-18 which set a target of 250,000 chargers
20 statewide by 2025, including 10,000 DC fast
21 chargers. With the establishment of AB 2127, we
22 are now using EVI-Pro to continually assess the
23 state's infrastructure needs and improve the
24 model along the way.

25 Next slide please.

1 So what's changed since EVI-Pro 1?

2 This table, which is adapted from Chapter
3 4 of our report, highlights some of the key
4 updates and improvements made to EVI-Pro 2
5 compared to the EVI-Pro 1. There's a lot here
6 and I'll walk through each row step by step.

7 So as you can see, EVI-Pro 1 assumed a
8 ZEV population of 1.5 million vehicles in 2025.
9 For EVI-Pro 2, we have three different forecast
10 scenarios corresponding, roughly, to 2 million, 5
11 million, and 8 million ZEVs by 2030. And I'll
12 explain these different scenarios more in the
13 next slide.

14 And important difference between the two
15 models is the composition of the ZEV fleets. In
16 EVI-Pro 2 the PEV-to-fuel cell vehicle split has
17 shifted about eight percent towards more PEVs in
18 2030, compared to our EVI-Pro 1 anal. In
19 addition, within PEVs the PHEV-to-BEV split has
20 shifted to favor more BEVs, indicating a larger
21 preference for these vehicles in the market.

22 I'd also like to note that we're really
23 improved the level of detail for vehicles modeled
24 in EVI-Pro 2. In EVI-Pro 1, we modeled two types
25 of PHEVs and two types of BEVs which differed in

1 their electric ranges. In EVI-Pro 2, we modeled
2 seven different types of vehicles which all have
3 unique attributes and characteristics that evolve
4 over time. This has provided much more
5 specificity and realism in EVI-Pro 2 to model the
6 unique driving and charging capabilities of these
7 vehicles. And if you're interested in learning
8 more about these vehicle classes and the
9 parameter that were used in this analysis, please
10 review Appendix B of our Draft Report.

11 So we've also modified the charging
12 behavior objective in the model to mirror
13 observed behavior, rather than maximize electric
14 vehicle miles traveled as was the case in EVI-Pro
15 1. We leverage revealed preference survey data
16 from UC Davis to better capture where people
17 charge, as well as how often they charge. For
18 example, EVI-Pro 2 includes a much higher portion
19 of no-charge days, and also includes elective
20 charging for drivers to charge even when not
21 necessary.

22 We've also made significant updates to
23 our home charging assumptions. Last summer we
24 executed a survey with NREL to better understand
25 precedential charging availability. And we built

1 a model around these results to estimate the
2 evolution of residential charging access as a
3 function of the PEV fleet share. The data and
4 results from this survey represent a significant
5 improvement upon previously available data. And
6 now we see residential charging access decrease
7 as the PEV fleet size increases over time. This
8 makes sense when you consider PEV adoption moving
9 out of the early adopters and into the mainstream
10 markets where drivers, for example, may have
11 limited home charging access because they live in
12 a multi-unit dwelling.

13 Another important update in the EVI-Pro 2
14 is the incorporation of time-of-use rate
15 participation. Projected participation levels by
16 utility territory were provided by the CEC's
17 Energy Assessments Division. And show in this --
18 yes. We implement county-level TOU participation
19 in the model. And tomorrow, Noel Crisostomo will
20 be diving deeper into how we implement TOU
21 participation in the model.

22 We've also updated the infrastructure
23 utilization inputs. EVI-Pro 1 simply made
24 assumptions about charger utilization to
25 determine lower and upper charger bounds. But we

1 are now using observed charger utilization data
2 from (indiscernible) to understand how the supply
3 of charging infrastructure is designed to meet
4 certain levels of charging demands. Applying
5 this in EVI-Pro 2 results in a more realistic
6 approach and has leveled to a much narrower gap
7 between the lower and upper bounds on needed
8 chargers.

9 And finally, we have updated our travel
10 data inputs to include the California sample from
11 the 2017 National Household Travel Survey which
12 has doubled our sample size.

13 Next slide please.

14 All right, just a little bit more
15 background before diving into the results. So
16 now I'm going to walk through the differences
17 between our three core forecast scenarios in EVI-
18 Pro 2. Each scenario is based on a different
19 vehicle forecast.

20 The low scenario is based on the low
21 scenario found in the CEC's Trans Energy Demand
22 Forecast for the 2020 IEPR. This is the most
23 conservative forecast in the IEPR and reaches a
24 population of about 1.9 million ZEVs by 2030.

25 Our baseline scenario is tied to the

1 aggressive case in the Transportation Energy
2 Demand Forecast and reaches approximately 4.7
3 million ZEVs by 2030. However, we have scaled
4 this up slightly to act as a proxy for the 5
5 million ZEVs by 2030 target called out in AB
6 2127.

7 And finally, our high scenario is based
8 on CARB's Mobile Source Strategy Forecast which
9 reaches almost 8 million ZEVs by 2030.

10 It's important to note the differences
11 between these various forecasts. The
12 transportation energy demand forecasts come from
13 a consumer choice model that is influenced by
14 various market conditions, such as vehicle cost,
15 incentives, and more. In contrasts CARB's Mobile
16 Source Strategy is focused on policy achievement
17 to meet climate, greenhouse gas, and air quality
18 goals. The takeaway from this is that while
19 CARB's forecast indicates the level of ZEV
20 adoption we may need to achieve our climate
21 environmental goals with 8 million ZEVs by 2030,
22 the CEC forecasts indicate that current market
23 conditions are not expected to lead to that level
24 of ZEV adoption, and that additional beneficial
25 market conditions may be needed.

1 So moving on to the PEV-to-fuel cell
2 vehicle split has shifted to around 95 percent
3 PEVs in all three scenarios. And in addition, as
4 I noted before, the PHEV-to-BEV split has shifted
5 as well, indicating a larger preference for BEVs
6 in the market.

7 I mentioned the updates to our home
8 charging assumptions. And you can see in this
9 table how this input for the model decreases as
10 the PEV fleet size increases across these three
11 scenarios, reaching 67 percent home charging
12 access with 8 million ZEVs in 2030.

13 And finally, our time-of-use rate
14 participation level is shown here as 67 percent
15 across all three scenarios. This is a statewide
16 average to display for simplicity. But we do
17 implement county-level participation in the
18 model.

19 Next slide please.

20 So now, moving into the results, I'm
21 going to focus on the results for our baseline
22 and high scenarios which, as I just noted,
23 correspond to fleet sizes of 5 million and 8
24 million ZEVs, respectively. The blue bars in
25 this figure represent the chargers needed for the

1 baseline scenario, while the orange chargers
2 represent the additional chargers needed in the
3 high scenario to support 8 million ZEVs. The
4 exact numbers seen in the bars are the average
5 between the lower and upper bounds found in EVI-
6 Pro 2. And you can find the complete set of
7 those results in Table 6 of Chapter 5 in our
8 report.

9 An so the main takeaway here is that EVI-
10 Pro 2 projects California will need about 965,000
11 chargers in 2030 to support 5 million ZEVs for
12 intra-regional travel. To support 8 million ZEVs
13 in 2030, California will need over 1.5 million
14 chargers. And these totals include chargers at
15 workplaces, public destinations, and multi-unit
16 dwellings but does not include the residential
17 charging needs at single-family homes. I'll also
18 emphasize again that these results are for intra-
19 regional travel only. The next two presentations
20 will discuss the infrastructure requirements for
21 inter-regional, long-distance travel, and TNCs.

22 Next slide please.

23 In addition to the scenarios and results
24 I just showed, we also investigated alternative
25 future scenarios. These scenarios are meant to

1 illustrate potential futures, given the
2 uncertainty of how the electric transportation
3 landscape may evolve in the next decade.
4 Projected charger counts can change based on
5 shifts in behavior, access, technology,
6 incentives and more. And this is our first
7 attempt to capture this uncertainty in EVI-Pro 2.

8 This also highlights the importance of
9 conducting the AB 2127 analysis at least every
10 two years to continually evaluate the charging
11 infrastructure needs and factor in these changes
12 over time. In the metrics shown here illustrates
13 how we've assessed the alternative future so far.

14 As I mentioned before, we have three core
15 forecast scenarios, but so far we have only
16 completed alternative future analysis for the
17 baseline case with 5 million ZEVs by 2030. Also,
18 the results I showed in my last slide are tied to
19 our business-as-usual inputs, assumptions, and
20 methodologies. These conditions result in a
21 demand of 1 million chargers in the baseline
22 forecast and 1.5 million chargers in the high
23 forecast.

24 So before I dive into the results, I also
25 want to define each alternative future, which

1 modifies a single input or assumption to generate
2 a new set of network results and load profiles.

3 The first alternative future is an
4 unconstrained scenario where there is no TOU
5 participation. This means that there is no
6 managed residential charging and, instead, the
7 model's approach is very similar to our original
8 EVI-Pro 1 anal.

9 The gas station model assumes that only
10 40 percent of vehicles have access to overnight
11 charging. So as a reminder, my last -- a couple
12 slides ago I showed that for 5 million zero-
13 emission vehicles the residential charging access
14 was about 72 percent, so this represents a pretty
15 significant drop in that residential charging
16 access.

17 The Level 1 charging scenario enables
18 Level 1 charging as an option for public and
19 workplace charging. In the business-as-usual
20 case, Level 1 charging is only an option at
21 single-family homes and multifamily-unit
22 dwellings.

23 The last alternative future, PHEV eVMT
24 maximization, alters the model methodology to
25 force PHEVs to charge at every single stop they

1 make in order to maximize the electric miles
2 traveled.

3 I'll also just make a quick note that
4 this table shows the results for the baseline
5 case and has MAs (phonetic) for the low and high
6 forecasts. But in our final AB 2127 report, we
7 do plan to include results for all forecast
8 scenarios.

9 Next slide please.

10 So shown here are the differences in
11 network results for each alternative future
12 compared to the business-as-usual case results
13 that I previously walked through. As you can
14 see, some scenarios result in decreases, as well
15 as increases, depending on the type of charging
16 infrastructure. And I have noted the net change
17 for each scenario at the top of the chart.

18 So first you'll notice the unconstrained
19 scenario results in no change to the
20 infrastructure network. In our approach for this
21 analysis, TOU participation was implemented
22 through a post-processing step to shift load --
23 to shift charging load to midnight. As a result,
24 removing TOU participation only changes the load
25 profile, not the network results. However, Noel

1 will be discussing this a bit more tomorrow in
2 his presentation on VGI and load profiles.

3 The gas station model results in a
4 moderate increase to the network with an
5 additional 14,000 chargers being required. Since
6 the residential charging access is significantly
7 decreased the number of required MUD chargers
8 shown in blue, of course, hauntingly decreases.

9 However, to make up the demand for this
10 lost residential charging, additional workplace
11 and public Level 2 chargers, as well as DC fast
12 chargers, are needed. The DC fast charger
13 increase is particularly important as this
14 scenario results in 21,000 additional DC fast
15 chargers which represents an almost 70 percent
16 increase compared to the business-as-usual case.
17 And this scenario demonstrates that, while
18 residential charging access should still be a
19 priority, the potential for a properly sized and
20 distributed DC fast charging network to act as an
21 alternative to home charging offers an
22 opportunity for further EV penetration and
23 increased alignment with solar generation through
24 daytime charging.

25 The Level 1 charging scenario results in

1 the largest network size, requiring more than
2 250,000 additional chargers compared to the
3 business-as-usual case. While this scenario does
4 substantially decrease the work in public Level 2
5 network by about 360,000 chargers, it replaces
6 these with 620,000 Level 1 chargers. So although
7 this indicates that there is technical potential
8 to accommodate low-energy charge sessions and
9 reduce the number of Level 2 plugs needed, this
10 does not come as a one-to-one replacement. And
11 the resulting 35 percent increase to the total
12 network size would lead to additional equipment
13 and site acquisition costs.

14 The final alternative future, PHEV eVMT
15 maximization, results in network size increase
16 between the previous two scenarios. The
17 additional 111,000 chargers come in the form of
18 additional public and work L2 chargers needed to
19 meet the requirement for PHEVs to charge at every
20 single stop. However, again, to tease Noel's
21 presentation tomorrow, this scenario reflects an
22 inefficient strategy where the costs outweigh the
23 benefits, especially when you look at the load
24 profile.

25 Next slide please.

1 So beyond what was included in our draft
2 report, we have also conducted preliminary
3 analysis to investigate the potential
4 infrastructure needs in 2035, which has become a
5 topic of great interest with the new executive
6 order calling for 100 percent of light-duty
7 passenger vehicle sales to be ZEVs by 2035.

8 So for this analysis we leveraged CARB's
9 Mobile Source Strategy Forecast. This forecast
10 achieves 100 percent ZEV sales, including PHEVs,
11 in 2035. And this results in a fleet of about 15
12 million ZEVs in 2035, of which about 14 million
13 are PEVs.

14 As I noted earlier, CARB's forecast
15 projects about 8 million ZEVs by 2030, which EVI-
16 Pro 2 estimates will require over 1.5 million
17 chargers. 15 million ZEVs in 2035 are estimated
18 to require over 2.3 million chargers. The most
19 important drivers to this increase are, of
20 course, the nearly doubling in ZEV fleet size, as
21 well as the continual decrease in residential
22 charging access over time as the PEV fleet size
23 increases.

24 I also just want to emphasize that this
25 is a preliminary analysis. And given current

1 limitations in data inputs and forecasting, we've
2 had to make a number of assumptions for this
3 analysis. We will continue to investigate the
4 infrastructure needs for 2035 and will closely
5 coordinate with our Energy Assessments Division
6 and CARB in this process.

7 Next slide please. Next slide please,
8 Raja. I am not seeing the presentation advance
9 on my end. Oh, perfect. Okay.

10 So now I want to talk about -- kind of
11 summarizing this presentation and the
12 implications of this work.

13 So, again, the infrastructure needs to
14 support intra-regional and charging demand for
15 2030 and beyond are significant. To meet
16 Executive Order N-27-20's goals of 100 percent
17 ZEV passenger vehicle sales by 2035, we could
18 need over 1.5 million chargers in the state by
19 2030 and 2.3 million chargers by 2035. All this
20 is going to require a lot of planning,
21 organization, and commitment. Even just looking
22 at the infrastructure needs for 5 million ZEVs in
23 2030, we see that there is a gap of more than
24 750,000 charges, even after accounting for
25 planned future installations.

1 I think it's also important to stress
2 just how important it is to continually evaluate
3 the state's infrastructure needs as the market
4 evolves. As the alternative future scenarios
5 demonstrated, evolving conditions and factors,
6 such as residential charging access of charger
7 type preference, can have significant impacts on
8 the required infrastructure network.

9 There's a very good chance that the
10 results I presented here today could change a few
11 years from now, perhaps due to increased charger
12 utilization with more EV adoption, updated
13 vehicle forecast projections, or gaining access
14 to higher quality data to leverage in our
15 efforts. And, fortunately, AB 2127 calls for the
16 CEC to conduct this analysis at least every two
17 years. And we will continue to improve our
18 modeling and understanding of the market to keep
19 benchmarking our infrastructure needs.

20 Next slide please.

21 I'd like to close the EVI-Pro 2
22 discussion by touching on our near-term steps, as
23 well as our longer-term future work.

24 Over the next few months, we will
25 continue refinements to the EVI-Pro 2 model,

1 including tweaking some of the inputs,
2 assumptions, and methodologies. We ultimately
3 plan to update our analysis and results for the
4 final AB 2127 report. Our final analysis will
5 include results broken down to at least the
6 county-level resolution and will provide
7 infrastructure needs for every year in the next
8 decade to aid in planning efforts. We will also
9 include our preliminary 2035 analysis, although
10 further collaboration and coordination with other
11 agencies will be needed to fully address the
12 executive order.

13 We welcome your feedback on our analysis
14 and results thus far as we continue to make these
15 updates. And I encourage you to submit comments
16 to our docket on this.

17 We also plan to publish a standalone EVI-
18 Pro 2 report separate from the final AB 2127
19 report. This will delve deeper into the
20 methodologies and inner workings of EVI-Pro 2 and
21 provide a more complete and robust set of
22 analysis and results, including a more detailed
23 sensitivity analysis. We hope to publish this,
24 roughly, in the same time frame as the final AB
25 2127 report.

1 And finally, our long-term work will
2 include the development of EVI-Pro 3. This will
3 result in more substantial updates to the model,
4 including increased smart charging capabilities,
5 finer geographic resolution, and harmonization
6 with our EVI-RoadTrip model which I'm about to
7 discuss in the next presentation.

8 We also plan to, more closely, coordinate
9 with the SB 2000 assessments to investigation
10 charging gaps and ensure charging infrastructure
11 is accessible for all.

12 So thank you all for listening. And,
13 again, we welcome your feedback through comments
14 to the docket. And I will now transition to my
15 next presentation, after drinking some water.

16 All right. Next slide please, Raja.

17 So EVI-RoadTrip stands for Electric
18 Vehicle Infrastructure for Road Trips. As the
19 name implies, this model differs from EVI-Pro 2
20 in the scope of its analysis. Whereas EVI-Pro 2
21 is focused on intra-regional travel and charging
22 demand, EVI-RoadTrip addresses long-distance
23 inter-regional travel for trips over 100 miles.
24 While EVI-RoadTrip still focuses on light-duty
25 vehicles, this model only designs the supply of

1 DC fast charging infrastructure capable of
2 meeting the charging demand from battery-electric
3 vehicles to enable long-distance road trips.

4 Similar to EVI-Pro 2, the key outputs
5 include the number, type, and location of DC fast
6 chargers and stations required to meet demand, as
7 well as load profiles associated with this
8 charging demand. And I'll just note that by type
9 of DC fast chargers, I am referring to the power
10 level of those chargers.

11 As I will highlight in upcoming slides,
12 the geographic resolution in this analysis allows
13 us to pinpoint geolocations for these modeled
14 stations. This, in turn, allows us to examine
15 potential grid impacts in a more detailed manner,
16 as we demonstrated through a case study for SCE's
17 territory in the AB 2127 Draft Report.

18 Next slide please.

19 EVI-RoadTrip is a four-step model,
20 beginning with determining road trip volume and
21 pattern. To do this, we leveraged Caltrans's
22 California Statewide Travel Demand Model, or
23 CSTDM. This travel model projects the number of
24 long-distance trips over 100 miles taken, as well
25 as where those trips begin and end. In addition,

1 this model includes incoming and outgoing trips
2 that cross the state line, so we are able to
3 capture travel and charging needs for more than
4 just trips within the state. The final component
5 in this step involves determining the number of
6 trips taken by battery-electric vehicles.

7 We used the same three forecasts that I
8 discussed in my EVI-Pro 2 presentation for this.
9 So, again, we have a low scenario corresponding
10 to CEC's low IEPR forecast, a baseline scenario
11 corresponding to CEC's aggressive IEPR forecast
12 which, again is a proxy for about 5 million ZEVs
13 by 2030, and then our high scenario corresponding
14 to CARB's Mobile Source Strategy which reaches
15 almost 8 million ZEVs by 2030.

16 However, because the CSTDM model does not
17 specify the number of long-distance trips taken
18 specifically by BEVs, we apply the percentage of
19 BEVs within the total light-duty fleet from each
20 forecast to approximate the number of long-
21 distance road trips taken by BEVs.

22 So the second step digs into the trip
23 vehicle energy use and charging simulation. For
24 this, we begin by using a tool called the Open
25 Source Routing Machine to determine the routes

1 taken based on -- or taken for road trips based
2 on origins and destinations. We then simulate
3 the vehicle energy use and charging patterns
4 during these trips. This model is a bit simpler
5 than EVI-Pro 2 in the types of vehicles that we
6 model. And right now we simulate three types of
7 BEVs, short-range cars, long-range cars, and
8 SUVs. So future work will aim to harmonize this
9 analysis with EVI-Pro 2.

10 It is also important to note that we used
11 three different types of charging behavior as a
12 sensitivity in this analysis, but I will discuss
13 that more in my next slide.

14 The third step of this model designs the
15 charging stations to meet the charging demand
16 from the previous step. In this step the model
17 cluster points where vehicles need to charge on
18 their route and then finds a suitable location to
19 place a station to support this charging demand.
20 We used national land use data to locate charging
21 stations in preferred sites and land use types,
22 such as commercial areas. And station sizing is
23 then determined based on individual station load
24 profiles.

25 An illustration of this step is shown on

1 the right where the different colors on the map
2 correspond to different land use types. And the
3 white dots along the corridor correspond to
4 points where charging is demanded. And then we
5 can cluster those points together to design a
6 station that can meet that charging demand, which
7 is denoted by the yellow star in this figure.

8 And the final step of this model looks at
9 the available utility hosting capacity to
10 determine how the charging load from road trips
11 may or may not be accommodated. We leverage our
12 in-house EVSE Deployment and Grid Evaluation, or
13 EDGE tool, for this analysis, which Micah Wofford
14 will discuss in more detail during tomorrow's
15 workshop.

16 Next slide please.

17 So shown here are the 2030 network
18 results from EVI-RoadTrip, including both the
19 number of stations on the left and the number of
20 chargers on the right that are required. The
21 blue bars indicate the lower bound for stations
22 and chargers, while the orange bar denotes the
23 upper bound. For charging stations the lower
24 bound is based on no limitation for the number of
25 chargers that can be present at a station, while

1 the upper bound enforces a ten-charger cap at
2 each station. For chargers, the lower bound is
3 based on 100 percent utilization rate, while the
4 upper bound is based on a 25 percent utilization
5 rate.

6 The results shown here are for our
7 baseline and high forecasts which, again,
8 correspond to 5 million ZEVs and 8 million ZEVs
9 in 2030. In addition, this chart shows network
10 results for different charging behaviors. So we
11 used three different charging behaviors in this
12 model. And I'm going to quickly walk through
13 those now just to give everyone a sense of what
14 those entail.

15 Our primary charging behavior is called
16 time penalty minimization, shown on the graph as
17 TPM. In this scenario, drivers do not charge all
18 the way to 100 percent SOC. Instead, they end
19 charging early, either to the SOC required to
20 reach their final destination if their trip is
21 almost complete, or to the second largest bending
22 point in the SOC curves used for this analysis.

23 And, Raja, could you just flip back to
24 the previous slide real quick?

25 So for those of you that may be

1 unfamiliar, the rate of charging substantially
2 decreases once you reach a certain level or state
3 of charging, such as 80 percent. And this is
4 illustrated in the middle figure on this slide
5 showing the charge power as a function of battery
6 SOC. And so the goal of our time penalty
7 minimization charging behavior is to optimize the
8 time spent charging by ending early to avoid that
9 drop in charging power.

10 All right. Thanks, Raja. You can go
11 back to the other slide.

12 The network results published in our
13 draft report are tied to the time penalty
14 minimization behavior. But I also wanted to take
15 this opportunity to present the results for two
16 other behaviors. One of these is called always
17 topping off, which is shown on the graphs as ATO.
18 In this behavior, drivers always fully charge
19 their vehicles.

20 The other behavior is called hybrid. And
21 this follows the always topping off method of
22 fully charging, except for the last charging
23 session of the trip where drivers adopt the time
24 penalty minimization behavior and only charge as
25 much as is needed to reach their final

1 destination.

2 As you can see, the time penalty
3 minimization behavior, in general, results in the
4 lowest number of charging stations and charges
5 requirements, although the hybrid behavior is
6 almost identical. However, the always topping
7 off behavior results in a much larger network,
8 indicating how important it is for drivers to
9 understand EV charging, and for automakers to,
10 perhaps, set an upper limit on the state of
11 charge the drivers can go to.

12 It's also important to note that, in
13 practice, some DC fast charges will be used for
14 both intra-regional and inter-regional purposes.
15 The EVI-Pro 2 and EVI-RoadTrip results do not
16 reflect this synergy yet. And, therefore, the
17 results may slightly overestimate the number of
18 needed DC fast chargers.

19 Next slide please.

20 As I noted before, EVI-RoadTrip
21 determined the geolocations of charging stations,
22 as shown in the map on the right. You can see
23 that these follow our highway corridors pretty
24 well. And you'll also notice that some of the
25 stations fall outside of California's borders to

1 accommodate trips with routes that include out-
2 of-state segments.

3 Furthermore, our results indicate that
4 the majority of these stations would be located
5 at retail and shopping areas, with most of the
6 remaining stations at recreation and park areas,
7 gas station, and airports.

8 Next slide please.

9 So now I'm going to walk briefly through
10 the load profile from the EVI-RoadTrip.

11 So the typical load profile projected by
12 EVI-RoadTrip indicates the inter-regional DC fast
13 charging demand will peak at nearly 40 megawatts
14 between 2:00 and 4:00 p.m. in 2030 for the time
15 penalty minimization charging behavior which,
16 again, those drivers stop charging before
17 reaching a full state of charge and, thus,
18 maximize over all charging speed.

19 In contrast, the always topping off
20 charging behavior results in more than doubling
21 the charging peak to nearly 90 megawatts around
22 2:00 to 4:00 p.m. This is due to the longer
23 charging times required which, in turn, creates
24 more coincidence in load and really demonstrates
25 the impact of charging behavior on system load.

1 Beyond the statewide load profile, we
2 also have the ability to estimate the load
3 profile of each individual station, which ties
4 into step four of this model, ASTI (phonetic)
5 analysis. However, I won't be diving into this
6 today. And I'll let Micah touch on that tomorrow
7 in his presentation.

8 Next slide please.

9 So like EVI-Pro 2, we've done a
10 preliminary analysis looking at the
11 infrastructure needs in 2035 to support long-
12 distance inter-regional travel. This, again,
13 uses CARB's Mobile Source Strategy Forecast which
14 in 2035 has about 10 million BEVs in the light-
15 duty fleet. To support these vehicles, the time
16 penalty minimization charging behavior results in
17 a lower bound of around 1,200 stations and 2,500
18 chargers, while the upper bound results in about
19 1,700 stations and 9,000 chargers. Once again,
20 the always topping off scenario results in a much
21 larger network size with a 30 percent increase to
22 the required stations and a 60 percent stations
23 to the required chargers when looking at the
24 upper bounds.

25 Next slide please.

1 So looking at the 2035 load profile, we
2 can see that the peak load increases to nearly
3 100 megawatts around 2:00 to 3:00 p.m. with the
4 time penalty minimization behavior. However,
5 whereas the 2030 load profile showed the always
6 topping off scenario resulting in about double
7 the peak load, in 2035 this behavior resulted in
8 a 2.5 times increase in peak load, nearing 250
9 megawatts, indicating that the effects of
10 charging behavior on load could exacerbate over
11 time.

12 Next slide please.

13 So this figure shows the charger
14 requirements that follows CARB's Mobile Source
15 Strategy Forecast for the time penalty
16 minimization charging behavior. While the growth
17 in charges is roughly linear, this actually
18 represents a diminishing growth trend over time
19 when you consider the exponential growth in the
20 PEV fleet size found in CARB's Forecast. This
21 trend arises as technology improvements, such as
22 longer vehicle ranges and higher powered chargers
23 come into play and moderate the number of
24 chargers that you need in the network.

25 For example, this chart shows the

1 composition of charger types by power level and
2 how this changes to favor high-powered chargers
3 over time as the onboard charging power of
4 vehicles increases. However, these replace
5 lower-powered chargers and do not build upon the
6 lower-power charging infrastructure designed in
7 earlier years. This is really critical because
8 it highlights the need for forward thinking and
9 the importance of future-proofing equipment and
10 ensuring charger interoperability today. If we
11 don't start building out high-power charging
12 today, such as 350 kilowatt chargers we are
13 already seeing in the market, we risk deployment
14 of infrastructure that is not capable of serving
15 future vehicles that demand high-power capacity.

16 Our model also assumes that any vehicle
17 can charge at any station, basically assuming
18 perfect interoperability. And this is also true
19 in EVI-Pro 2. So without continued progress on
20 interoperability, our results could underestimate
21 the required charging network.

22 Next slide please.

23 Our analysis indicates that more than
24 1,000 DC fast charging stations will be required
25 to support BEV inter-regional travel demands in

1 2030, including an average between 4,000 and
2 5,000 chargers depending on the number of
3 vehicles. In 2035, this increases to nearly
4 1,500 stations and 6,000 chargers on average.

5 As I stressed before, technology
6 improvements will moderate the growth in number
7 of stations and chargers required in the future.
8 This highlights the importance of forward
9 thinking and preparing our infrastructure network
10 to meet the needs of the future vehicle market.
11 But it is also critical to prioritize charging
12 interoperability so we can optimize the network
13 size and simplify charging so that people on road
14 trips don't have to search for a charger that
15 works with their vehicle.

16 And finally, this analysis demonstrates
17 the need to coordinate with our neighbors. This
18 modeling effort considered trips into and out of
19 California, resulting in charging stations
20 outside of our borders. It will be essential to
21 continue coordinating with other states and
22 governments to ensure a harmonized charging
23 infrastructure network that can enable long-
24 distance travels for electric vehicles across the
25 country.

1 Next slide please.

2 So the EVI-RoadTrip model is pretty much
3 finalized for this round of work. We plan to
4 release a standalone report for this analysis
5 around the same time as the AB 2127 Final Report.
6 And this standalone report will contain a
7 detailed description of the methodologies, as
8 well as a robust set of results, including
9 various sensitivities.

10 As I've mentioned previously, our longer-
11 term goal for this work is to harmonize this
12 model with EVI-Pro 2. This will reduce potential
13 overlaps in DC fast charger projections and
14 result in a more optimized model and analysis.

15 So that wraps it up for me. Thank you
16 all for listening. And I welcome any questions
17 and comments on this work. Thank you.

18 MR. RAMESH: Thanks Matt.

19 We'll move into questions now. I think
20 we'll start with the question from Mehdi Ganji.
21 "What is the residential charging station data
22 resource used for your analysis?"

23 MR. ALEXANDER: Yeah. Thank you for that
24 question.

25 So we executed a survey last summer with

1 NREL. And that is serving as the basis for our
2 new residential charging access inputs. So we
3 built -- or NREL built a Vehicle Likely Adopter
4 Model based on our survey results to project how
5 residential charging access would evolve over
6 time as the PEV fleet size increases.

7 It gets quickly complicated if I try to
8 explain more than that. So I would recommend, if
9 folks are really interested in diving into
10 residential charging access and our new
11 assumptions in the model, please follow up with
12 us. And we're happy to dive deeper into that
13 because it is really interesting and a
14 significant update to our model.

15 MR. RAMESH: Next question is from Dean
16 Taylor. Dean asks, "US DOE says average BEV
17 today is 250-mile range per charge. Do you look
18 at the impact of varying the range, especially
19 for greater range?"

20 MR. ALEXANDER: Sure. So as I mentioned
21 before, we are modeling seven different types of
22 vehicle classes in EVI-Pro 2. So this means that
23 we actually have completely different attributes
24 for all of those classifications. So you know,
25 we have small cars, large cars, large cars, sport

1 cars, pickup trucks, SUVs, many different types
2 of vehicles. So those evolve over time based on
3 our forecast efforts, so we're leveraging the
4 forecasts and attributes from our Energy
5 Assessments Division for these attributes.

6 And we have done some sensitivity
7 analysis to look at how modifying ranges and
8 attributes for vehicle classifications impacts
9 the results but we haven't published those
10 results yet or finalized that analysis.

11 MR. RAMESH: I also do see hands raised,
12 so I'll get to the raised hands after Kevin
13 Karner's question.

14 But for now, we'll take Eric Carhill's
15 question from SMUD. "On slide 33 for the multi-
16 unit bar, is that assuming -- does that assume
17 charging in new MUD construction only, or does
18 that include retrofits? Might it be more likely
19 that multi-unit dwelling residents living in
20 existing construction will rely on ultra-fast
21 charging for most of their charging needs? What
22 are the underlying assumptions going into this
23 model?"

24 MR. ALEXANDER: So we do not make
25 assumptions about the type of building that MUD

1 chargers are located at, so we don't consider,
2 you know, whether a charger is located at a new
3 MUD building or if it's, you know, the result of
4 a retrofit or something like that.

5 I will note that our -- going back to the
6 residential charging access, that assumption is
7 based on a scenario where infrastructure
8 installations are assumed in certain -- to a
9 certain degree, so we are considering the ability
10 to install new chargers. But, yeah, we don't
11 specify how the chargers are split between new
12 construction and retrofits.

13 And I think, you know, the alternative
14 future where we -- the gas station model where we
15 decrease that residential charging access
16 assumption, I think that really highlights how
17 you do see an increase in fast charging to meet
18 that need.

19 So you know, we saw the -- if you can
20 flip to that slide, Raja? I think it's 35.

21 So in the gas station model, you see that
22 we decrease the MUD charger count by about
23 150,000 chargers roughly. And we make that up
24 with public and workplace L2. But, really, a
25 substantial increase to the DCFC network compared

1 to the baseline case. And I think that's
2 indicating that, you know, people do have to make
3 up that charging through fast charging and kind
4 of relying on that as an alternative to home
5 charging.

6 MR. RAMESH: Next question from Kevin
7 Karner. "Two questions. Apologies if they were
8 just in the report. First, what data is the 72
9 percent home charging assumption based on? Are
10 housing unit predicator variables explained?
11 Second, any anticipated timeline on the county-
12 level forecast results? In that past, that's
13 been a great help."

14 MR. ALEXANDER: Sure. So again, our home
15 charging assumptions are based on survey results
16 that we executed last summer. Sorry, the
17 question went to answered, so I want to make sure
18 that I'm touching on everything.

19 So we're happy to dive deeper into that
20 data source and the results, if you would like,
21 after this workshop.

22 That 72 percent is a combination of
23 different housing types. So our survey did have,
24 you know, different housing types. And so we can
25 see, you know, from the results what the charging

1 -- what the results were for low-rise apartments
2 and mid-rise apartments, and single-unit detached
3 homes and single -- or, yeah, single-family
4 detached homes and single-family attached homes.
5 So we do have differences in housing. But in
6 EVI-Pro 2, we're using an aggregated residential
7 charging access value.

8 For county-level forecast results, we are
9 planning to incorporate those into our final AB
10 2127 Report. So as others have noted earlier in
11 this workshop, that's on a timeline for spring.
12 And I know folks have been interested in the
13 results viewer and interacting with the results.
14 And we are planning to update that as well but
15 the timeline on that is still a bit uncertain at
16 this time.

17 MR. RAMESH: Okay. I'm now going to un-
18 mute Ray Pingle.

19 You should be able to ask your question
20 now, Ray.

21 MR. PINGLE: Thanks. Noel, can you hear
22 me clearly now?

23 MR. RAMESH: Yes, we can hear you.

24 MR. CRISOSTOMO: That's Raja but, yes, we
25 can hear you.

1 MR. PINGLE: Okay. Thank you.

2 So great work, Matt. I mean, I've
3 learned a lot of new things, even after having
4 read the 2127 Report. I've got three
5 recommendations. They all have to do with
6 assumptions.

7 I think the most important assumption is
8 what the demand scenarios are. And as we know,
9 we've got many scenarios, we think too many.
10 We've got Governor Brown's executive order for 5
11 million cars by 2030, which is also in the 2127
12 law. We have the CEC's recent Demand Forecast of
13 3.3 million as a mid-case, 4.8 million in the
14 aggressive case, by 2030. And then we have the
15 Mobile Source Strategy scenario of 8 million,
16 which is required to support Governor Newsom's
17 executive order to get us to be able to support
18 35 percent of car sales by 2035.

19 I think it's important at the CEC that we
20 have one objective, and it should be the Mobile
21 Source Strategy goal. This goal should also be
22 used for consistency and appropriateness in the
23 EVI-RoadTrip analysis, which currently is using
24 the 5 million vehicles. And then one of the
25 problems in having all of these goals is it's

1 very confusing to stakeholders and really
2 undermines the commitment that we all need to
3 have to achieve the goal of hitting targets that
4 Governor Newsom has laid out for us.

5 Now some believe that the MS -- Mobile
6 Source Strategy goal is a pipedream but it's not.
7 The three main obstacles to EV adoption have been
8 cost, range, and charging infrastructure. The
9 range concern is rapidly fading as a concern with
10 nearly all new EVs having at least a 200-mile
11 range, some now getting up to 400 miles-plus.
12 And this is all going to increase as far as the
13 fleet is concerned. And this concern is also
14 mitigated with the robust charging infrastructure
15 and as potential EV buyers are educated and
16 understand how this all works.

17 And as far as cost, EVs will reach cost
18 parity in 2023 for most vehicles. And after
19 that, EVs with both cost less to buy and operate
20 with costs for fuel and maintenance at least 50
21 percent lower than ICE cars. This will be an
22 extraordinarily compelling driver to get more
23 rapid EV adoption.

24 So we're quickly moving towards a major
25 inflection point in EV adoption. And the only

1 thing that could slow it down is inadequate
2 charging infrastructure. So if we don't plan for
3 these needed chargers we won't achieve the EV
4 adoption required to meet our climate and other
5 goals. Failure would become a self-fulfilling
6 prophecy. By setting the right goal of 8 million
7 cars by 2030 and achieving implementing the
8 infrastructure to support that, we can facilitate
9 potential EV purchasers buying these vehicles to
10 be as confident that they'll be able to charge as
11 they are today that they can find a gas station,
12 and we have eliminated the third obstacle.

13 So we strongly recommend that the CEC,
14 along with its sister agencies, adopt and wholly,
15 wholeheartedly commit to the Mobile Source
16 Strategy demand goal of 8 million vehicles by
17 2030 and abandon the other projection goals.

18 And a parallel to that is that we need to
19 change the 2025 goal from 250,000 to 2.6 million
20 and adjust what the goals are. And this is
21 especially important because we've got to stay
22 ahead of the need for chargers with having the
23 chargers or we'll really have a very significant
24 obstacle to overcome going forward. So setting
25 the 2025 goal higher and realistically is very

1 important.

2 And then I just have two other quick
3 suggestions.

4 One is, if you look in Appendix B of the
5 document, and that includes, I think, the seven
6 model types, Matt, that you were talking about,
7 and several of the assumptions for these model
8 types look fine but many of them are showing
9 battery sizes and ranges that are really low and
10 are not tracking at all with new vehicles coming
11 on the marketplace, so I think those should be
12 addressed before the final report is completed.

13 And then secondly, on the assumption for
14 the split between BEVs and PHEVs by 2030, you
15 know, already in the Bloomberg New Energy Finance
16 2020 EV Outlook, they're showing the split
17 globally going from 50/50 in 2015 to about 25
18 percent/75 percent in 2019, so we're already
19 there. And they forecast that in the U.S. the
20 ratio by '24 will be about 87 percent/13 percent.
21 So if we did an intermediate in between those
22 two, we should be at about 80/20 in 2030. So we
23 would suggest that you alter that assumption as
24 well.

25 Thank you very much. And really great

1 work.

2 MR. ALEXANDER: Thank you, Ray. There
3 was a lot there, some really great comments. I
4 would really appreciate if you could submit your
5 thoughts and suggestions to the docket. And that
6 will really help us home in on those points and
7 try and address those, so Thank you.

8 MR. RAMESH: Okay. Next we'll go to Dean
9 Taylor. "It would be great to see the difference
10 in charging needs for those who can charge at
11 attached and detached single-family homes at nice
12 versus the needs of fleet vehicles versus the
13 need of large apartments and condos. It seems
14 counterintuitive that so much Level 2 is needed
15 compared to DCFC, especially with 250- to 400-
16 mile BEVs."

17 MR. ALEXANDER: Yeah. So let me try
18 unpacking this one.

19 So we don't break down between attached
20 and detached single-family homes. But we do have
21 a charger count for single-family homes that I
22 haven't included in the slides here but we do.
23 You know that number is in the millions of
24 chargers.

25 We -- so Alan Jenn will be presenting

1 after me on the needs for fleet vehicles and
2 TNCs. So, hopefully, that will answer some of
3 your questions there.

4 MUDs, again, yeah, we don't break down
5 the needs between, for example, small apartments,
6 mid-rise and high-rise apartments, so that's a
7 capability that we currently don't have in the
8 model.

9 I will also note that while, yes, we do
10 have a large number of L2 chargers compared to
11 DCFC, I think Noel's presentation tomorrow, when
12 we look at the load profiles, is going to show
13 that DCFC is really important. And a lot of the
14 energy delivered to vehicles is coming from those
15 DC fast chargers. So I would stay tuned for
16 that. And there's some really interesting
17 results coming out of the load profiles that I,
18 unfortunately, wasn't able to fit into my
19 presentation.

20 MR. RAMESH: Next question from Ross
21 Zelen. "Nice tie-in to SB 1000. Is there also a
22 tie-in to AB 617?"

23 MS. HOANG: And I can go ahead and take
24 this one. This is Tiffany. I'm working on the SB
25 1000 analysis.

1 So moving on with SB 1000, we are going
2 to be looking at communities with the highest
3 pollution burden. And that's going to help us
4 identify communities that might have the highest
5 need for charging infrastructure. And we welcome
6 input from stakeholders on different factors we
7 can consider to assess community needs.

8 Thanks.

9 MR. RAMESH: Next question from Sam
10 Houston. "Does the time penalty minimization
11 scenario assume zero state of charge at final
12 destination or some non-zero minimum so the
13 driver is not stranded at the destination?"

14 MR. CRISOSTOMO: Raja --

15 MR. ALEXANDER: I --

16 MR. CRISOSTOMO: -- I've un-muted D.Y. to
17 help answer this question.

18 MR. ALEXANDER: Awesome. Thanks Noel.

19 MR. LEE: Yeah. That's a great question.
20 So the TPM scenario, which is one of the charging
21 behavior models that we evaluated, the SOC at the
22 final destination is assumed to be zero. We are
23 using two different buffers for the final
24 destination SOC. The first one is five percent
25 of SOC as an absolute behavior regardless of

1 charging behaviors. And, plus, we also used
2 five-mile buffer so that, you know, PEVs are not
3 stranded at their destination.

4 MR. ALEXANDER: Thanks D.Y.

5 And just for folks on the line, D.Y. is
6 the main modeler at NREL working on the EVI-
7 RoadTrip analysis and, also EVI-Pro 2.

8 So thanks for joining and helping out
9 with that one, D.Y.

10 MR. RAMESH: Next question from James
11 Russell at CLEAResult. "Great presentations
12 regarding the EVI-Pro 2 results. How optimum
13 must the distribution of chargers be for the 1
14 million chargers to be adequate in the baseline
15 scenario? Is there an allowance for some
16 chargers being located in what turn out to be
17 suboptimal locations while other locations see
18 more charging demand than available chargers?"

19 MR. ALEXANDER: So, yeah, I've been
20 presenting statewide charger results, network
21 results.

22 And, Eric, I'll also let you chime in if
23 you would like.

24 But we are assuming varying utilizations
25 by county. So I think, you know, once we, in our

1 final report, get to the county-level resolution
2 and have results for all of the counties and can
3 really home in on, you know, the distribution of
4 chargers, that will help a bit. But we do -- you
5 know, we don't necessarily say, oh, this charger,
6 you know, maybe it will wind up with no
7 utilization, or this one might have really high
8 utilization. We do assume kind of consistent
9 utilizations that vary by county.

10 And, Eric, I'll let you chime in if I am
11 incorrect on any of those points.

12 MR. WOOD: No. That was perfect, Matt.

13 So I just want to add, though, that in
14 addition to designing the network for different
15 levels of utilization geographically around the
16 state, we also simulate what I would describe as
17 some discretionary charging happening within the
18 simulations. And so this is, you know, charging
19 that happens during the simulation but isn't
20 absolutely necessary in order for the vehicle or
21 the individual to complete their travel for the
22 day.

23 We've been tuning that discretionary
24 charging based on survey data that's been
25 published by UC Davis as part of the PHEV program

1 at Davis. And it's kind of one of the things
2 that we're looking forward to diving into next is
3 looking at, you know, what role charging behavior
4 plays on the demand for infrastructure and how
5 different, you know, incentives could, perhaps,
6 be used to drive behavior in different
7 directions, including trying to better align load
8 with solar production in the state.

9 MR. RAMESH: Great. Thank you both.

10 Next question from Marc Geller. "How
11 does current retail/shopping charger utilization
12 figure in the model? Do you have current
13 utilization data for retail/shopping location
14 chargers broken out by Level 2 and DC, and paid
15 versus free? Any problems getting utilization
16 data?"

17 MR. ALEXANDER: So I believe this is
18 regarding EVI-Pro 2 and charger utilizations in
19 that, also it could also apply to EVI-RoadTrip.

20 Maybe could we get Marc on the line just
21 to clarify whether this is for EVI-Pro 2 or
22 RoadTrip or both? And then we can address this.

23 MR. RAMESH: Yeah. Please raise your
24 hand so we can un-mute you. Go ahead, Marc.

25 MR. GELLER: Great. Can you hear me?

1 MR. RAMESH: Yes.

2 MR. GELLER: Yeah. For both. I mean, it
3 was a slide that included sort of perspective
4 locations, a lot of charging at retail. And so I
5 figured looking backward, what utilization data
6 do you have? And it could apply to either
7 scenario.

8 MR. ALEXANDER: Yeah. So -- and again,
9 D.Y. and Eric, feel free to weigh in as well.
10 I'll kick this off.

11 So RoadTrip is a bit different in terms
12 of how it's siting the chargers compared to EVI-
13 Pro 2.

14 So as I mentioned in -- Raja, could you
15 flip back a few slides to the figure, the station
16 siting example?

17 MR. RAMESH: Are you talking about this
18 one?

19 MR. ALEXANDER: Yeah. Yeah. Perfect.

20 So this is an example of how we site the
21 stations. And so you can see that these white
22 dots on the corridor represent points where
23 vehicles require charging and the model clusters
24 these events together. And then using National
25 Land Use Database data, we can look at, you know,

1 what type of land is around here. So, for
2 example, the green is -- I want to say it's like
3 agriculture land. I think the blue is
4 residential. And that red strip where the yellow
5 star is located is commercial land use.

6 And so we implemented a ranked system of
7 these land use types to say, okay, would we
8 prioritize commercial land use over, you know, a
9 park, park areas, recreational areas, et cetera?
10 And by using that ranking system and clustering
11 these charging events together, we can find where
12 the optimal station location is to serve that
13 demand. And so we're not necessarily using
14 utilization data to say, oh, 55 percent of the
15 charging stations should be located in retail
16 shopping centers.

17 We did have discussions with stakeholders
18 on, you know, our ranking system and, you know,
19 how do you think about where to place your
20 chargers, and that type of consideration? But we
21 don't use actually utilization data to determine
22 the station siting.

23 D.Y., would you add anything else to
24 that?

25 MR. LEE: No. I think that's an accurate

1 description.

2 And then for the station utilization
3 rate, I think, is one of the questions.

4 So for the RoadTrip side, we are using
5 about 25 utilization rate for the DC fast
6 charging folks based on the empirical data that
7 we got at NREL for 300 different DC fast charging
8 stations across the state in California.

9 MR. ALEXANDER: Yeah. So we're applying
10 kind of a single utilization assumption to
11 determine our lower and upper bounds. So we
12 don't have quite the specificity that Eric was
13 describing in EVI-Pro 2 where we have, you know,
14 county-level utilization rates for different
15 charger types, et cetera.

16 And you know, I would say that, you know,
17 we're always looking for utilization data and
18 improving this input. I think it's also one of
19 the most -- it's a very impactful change compared
20 to EVI-Pro 1. We had very large gaps between our
21 lower and upper bounds in EVI-Pro 1. And now
22 we've really narrowed that because of the updates
23 and improvements in utilization data that we've
24 incorporated into EVI-Pro 2. But we're still,
25 you know, trying to get a better sense of

1 utilization and how EVSPs balance charger supply
2 and charging demands. And you know, I think it's
3 also a bit uncertain what it's going to look like
4 in a few years from now.

5 So you know, we're always eager to get
6 more utilization data. If folks want to help
7 support this effort and have the data, that can
8 help improve this.

9 MR. CRISOSTOMO: Yeah. And I'll quickly
10 add, we appreciate the engagements with the few
11 EVSPs that --

12 MR. ALEXANDER: Yeah.

13 MR. CRISOSTOMO: -- we've been able to
14 sanity check our approach on balancing customer
15 experience, as well as the kind of network
16 moderation potential from high utilization sites.
17 So thank you for the EVSPs. You know who you
18 are.

19 MR. RAMESH: Great. So just a time
20 check. We have about five minutes left in the
21 question and answer session, so we'll take the --

22 MR. ALEXANDER: It seems like you cut out
23 there, Raja.

24 MR. RAMESH: Ah. Okay. Just if you'd
25 like to add a question, now is your last chance

1 before this next presentation.

2 We'll read Karim Farhat's from ENGIE's
3 question now. "Thank you again for this
4 excellent work. Following up on the earlier
5 question, slide 43 seems to provide use cases and
6 demand for public DCFC. And I can confirm the
7 model results are consistent with what we're
8 observing in the industry. Do you have a similar
9 slide for public L2 showing locations of chargers
10 and breakdown by use case or demand?"

11 MR. ALEXANDER: Yeah. So again, this
12 comes from a difference in methodology between
13 the EVI-Pro 2 and RoadTrip. So again, EVI-
14 RoadTrip, which, you know, Karim is referring to
15 in slide 43, this is only focused on DC fast
16 charging. So we don't have a similar slide for
17 L2 in the RoadTrip context. And in RoadTrip, we
18 were able to identify the specific charger
19 locations and assign that to the land use type
20 and have this fine breakdown. EVI-Pro 2, it's
21 more complicated.

22 And we don't have this level of
23 geographic resolution at this point, so we don't
24 have similar breakdowns on, you know, this many
25 Level 2 chargers from EVI-Pro 2 should be located

1 in retail and shopping centers, or anything like
2 that.

3 I'll pause and see if Eric wants to jump
4 in there?

5 MR. WOOD: Yeah. Thanks Matt. Yeah.

6 So I think the way I would kind of
7 describe it is that the feed data for RoadTrip is
8 really trips from a statewide travel demand
9 model, so we're looking at A-to-B trips, and then
10 coming back, B-to-A. For EVI-Pro 2, it really
11 requires us having access to at least a 24-hour
12 sequence of trips over a day, and that's
13 typically a more challenging set of data to come
14 across.

15 We're currently relying on a composite of
16 two travel surveys that have occurred over the
17 last decade in California. But we're also, you
18 know, considering reviewing options for
19 commercial data to inform the model from
20 telematics and GPS providers. Those datasets,
21 you know, come in great volumes, certainly, but
22 also have tradeoffs in terms of the contextual
23 information that's available in a commercial
24 dataset. Things like the trip purpose or
25 demographics for the household typically aren't

1 included in that data but can be, you know,
2 added, essentially, through data fusion
3 techniques.

4 So that's kind of the state of where
5 we're at with the feed travel data for the two
6 models.

7 MR. RAMESH: Thanks Eric. Great.

8 So I don't see any raised hands of
9 further questions in the Q&A box. I see Ray has
10 raised his hand.

11 So, Ray, you'll have two minutes before
12 our 6:05 p.m. next presentation -- or 3:05.
13 Excuse me. Go ahead. Your un-muted now.

14 MR. PINGLE: Yeah. Ray Pingle, Sierra
15 Club California. Thank you very much. This will
16 be quick.

17 So I just did the math in terms of, you
18 know, our goal right now is 250,000 chargers by
19 2025. But according to the Mobile Source
20 Strategy, I believe the number of estimated
21 vehicles, instead of 1.5, would be 2.6 million.
22 And so just to extrapolate that, instead of
23 250,000 chargers, that would say that we need
24 433,000 chargers.

25 And so I just want to highlight that

1 because, again, I think we are going to have a
2 fairly rapid inflection point. And we need to be
3 planning for a larger number of chargers so that
4 we don't have the problem of people having to
5 line up and wait to get access to a charger,
6 which would really put a chilling effect on
7 increased EV adoption.

8 Thank you very much.

9 MR. ALEXANDER: Yeah. Thanks Ray. And
10 I'll emphasize again that, for now, we've been
11 laser focused on the 2030 and 2035 analyses and
12 getting those results ready for the draft report.
13 But we do plan to include intermediate year
14 results, as well, so we will have, you know,
15 year-by-year 2020 to 2030 what our -- what EVI-
16 Pro 2 is projecting for the network size and the
17 breakup. And EVI-RoadTrip, we have it every five
18 years, so 2020, 2025, 2035 -- 2030 and 2035.

19 MR. RAMESH: All right. Thanks for all
20 your questions everyone.

21 Next we'll have a presentation from Alan
22 Jenn of UC Davis.

23 Go ahead, Alan.

24 MR. JENN: Hi. Good afternoon everyone.
25 I'm Alan Jenn, a researcher at the Institute of

1 Transportation Studies at UC Davis. And I'll be
2 talking about infrastructure buildout
3 specifically for TNC electrification. So TNCs
4 are transportation network companies, so you can
5 think of companies like Uber and Lyft.

6 So onwards to the next slide.

7 So the reason why this project has kind
8 of its own carveout, as opposed to sort of
9 integration with the other models, is that the
10 electric vehicles that drive on these platforms
11 are pretty different. There is a significantly
12 higher utilization in current day at the public
13 DC fast charging. And so what we observe from
14 empirical data is that drivers on these services
15 are typically charging about two to three times a
16 day. And that's in pretty stark contrast to your
17 average electric vehicle owner who we find
18 typically charges about once every two to three
19 weeks.

20 In addition to this really sort of high
21 density of charging events, electric vehicle
22 drivers on these platforms also have sort of
23 different requirements for high-speed charging in
24 order to minimize the amount of downtime that
25 they have so that they can provide their service

1 without interruption.

2 And then the spatial coverage is also a
3 very important issue because the strategic
4 placement of these chargers may differ quite a
5 bit from what you might require for your average
6 driver because they want to reduce the amount of
7 travel and we want to decrease the amount of
8 deadheading from these vehicles going between
9 where they're providing rides and then where they
10 need to go to charge. And so I think that these
11 sort of set of problems bring on a unique set of
12 challenges in thinking about deploying
13 infrastructure for these drivers.

14 So continuing on, so we built a model
15 called WIRED. It's the Widespread Infrastructure
16 for Ride-Hailing EV Deployment. And this model
17 leverage real-world data on trips actually being
18 performed from electric vehicles on Uber and Lyft
19 platforms, as well as gas vehicles on that
20 platform. And we use that to, essentially,
21 simulate how we expect the use of electric
22 vehicles is going to increase in specific areas
23 in three case study cities in California.

24 So this simulation, combined with some
25 information about station attributes, goes into

1 this model. And from it we can determine,
2 through an optimization algorithm, the sort of
3 best places to deploy the infrastructure and also
4 get an understanding of how they're going to
5 actually be used to meet the charging demand from
6 these drivers.

7 The optimization is based on reducing
8 costs of deployment and costs of charging while,
9 at the same time, making sure that all of the
10 drivers can, one, meet the energy requirements.
11 So, you know, they're driving quite a bit more
12 every day and so the charging amount is going to
13 be larger. And, too, sort of minimizes the
14 interference of the actually charging events with
15 the service that they have to be providing
16 throughout the day. And so if this driver is
17 providing a service, say from 1:00 p.m. to 5:00
18 p.m., he's not allowed to charge in that time
19 period. And so this optimization takes all of
20 those constraints into account when doing the
21 deployment, both by space and then -- and also by
22 time.

23 Okay, so in this slide the first thing
24 that we need to sort of understand as an input
25 into the WIRED model is, well, how many electric

1 vehicles are actually going to be driving on the
2 TNC platforms in the future? So this is a slide,
3 sort of stolen directly, from a CARB workshop,
4 from the Clean Miles Standard, which is providing
5 some projections of expectations for electric
6 vehicles on these platforms. And so you can see
7 by 2030 there's an estimated, about, 300,000
8 vehicles, electric vehicles, that are going to be
9 driving on surfaces such as Uber and Lyft.

10 And so, as I mentioned before, we are
11 applying this model in the three largest cities
12 in California, so that would be San Francisco,
13 Los Angeles and San Diego. And we can,
14 essentially, extrapolate from these numbers and
15 interpolate based off the data that we see in the
16 Uber and Lyft datasets to allocate these vehicles
17 into all of those cities. And so on the right-
18 hand side is just a simple graphic of the number
19 of electric vehicles that we're expecting to be
20 on ride-hailing platforms going out over the next
21 decade. We're going all the way up to about
22 100,000 electric vehicles in Los Angeles, about
23 60,000 in San Francisco, and a little bit over
24 25,000 in San Diego by that time.

25 Okay, and so the first thing that I

1 mentioned was simulating the daily energy demand.
2 And this is, essentially, how we're figuring out
3 the locations for where the energy demand is
4 going to happen. So, essentially, what we do is
5 we do is we take the trips by doing a statistical
6 sampling method called bootstrapping where we
7 sort of randomly take trips that are observed in
8 real data and we can expand that to a larger
9 population size. And so based off of where
10 people are asking for rides, we're able to,
11 essentially, figure out how much energy demand
12 there is in any particular area.

13 These energy demands, if you look at the
14 sort of darkest blue, those buckets actually go
15 up tremendously high in certain regions. And so
16 the ceiling for some of these is orders of
17 magnitude larger. It's pretty much what you
18 would expect. In the trips that we observe, most
19 of the -- or the largest places with the highest
20 demands are happening in airport regions and in
21 sort of downtown areas.

22 And so when you do this bootstrapping for
23 a single day, you will actually observe quite a
24 bit of variation in particular zones and regions
25 because, you know, one day you might see a lot

1 more trip demand in one area, and then on the
2 next day you might see a lot less. And so what
3 we do is we actually simulate this over a three-
4 month period and then average it out in order to
5 smooth the demand and make sure that when we
6 think about the deployment of the infrastructure,
7 you are meeting the requirements that you're
8 going to see over a long period of time rather
9 than just the variation that you might see in a
10 single day. And so that's why you're -- that's
11 why we're doing it over sort of a longer time
12 period.

13 So let's go ahead and move on to the next
14 slide.

15 So this is -- this slide is, basically, a
16 high-level set of highlights coming from the
17 outputs of the Infrastructure Deployment Model.

18 On the left-hand side, I'm showing an
19 example in San Diego of charger deployments. In
20 this case you can see the red -- most of the dots
21 are red dots which are indicating DC fast
22 chargers. The size of the dots are going to tell
23 you how many plugs there are in any given
24 location. And the vast majority of those
25 plugs -- or a larger number of plugs are, again,

1 happening in the high-demand areas, such as
2 airports and downtown. And then you can see that
3 the amount of energy that they're dispensing to
4 meet the electricity demand for these chargers is
5 also sort of captured in this model.

6 On the right-hand side are sort of high-
7 level aggregate results that give us an
8 understanding of how many chargers are going to
9 be needed to fulfill those demand requirements.
10 And like I mentioned before, vehicles driving on
11 these surfaces tend to have a much higher demand.
12 They're not only using them more often but
13 they're also charging sort of a larger amount
14 compared to your average electric vehicle.

15 And so for that reason there's a really
16 sort of disproportionately large number of
17 chargers that end up needing to be deployed in
18 order to meet their demand, especially when you
19 look at these set of results compared to some of
20 the deployment numbers that we were seeing
21 earlier. In the EVI-Pro 2 models, the number of
22 chargers is quite a bit higher.

23 You can see from a DC fast charger
24 perspective, you're talking on the order of
25 several thousand chargers within each city, so

1 you know, 4,000 DC fast chargers in Los Angeles
2 alone, which is several times higher than the
3 number of chargers that -- public chargers that
4 are in place today. And so there is going to be
5 a sort of substantial charger buildout required
6 to meet that higher demand.

7 Okay, so I'll go ahead to our conclusion
8 slide. So again, sort of reiterating some of the
9 points.

10 The high travel intensity of electric
11 vehicles on these platforms is really one of the
12 leading factors that is resulting in some of the
13 outputs that we're seeing from the WIRED model in
14 that the number of chargers that need to be
15 deployed is going to be quite a bit higher and
16 disproportionately higher per vehicle than the
17 average electric car.

18 One thing that I didn't show any sort of
19 results are, in this set of slides, is that the
20 infrastructure requirements that we're observing
21 here are also really highly dependent on the
22 amount of charging that happens overnight. And
23 so in all of the results that I have shown in the
24 previous slides, it's operating under the
25 assumption that the charging is going to take

1 place in public charging during the day as they
2 sort of fulfill the demand requirements. But --
3 and the motivation behind that is that a lot of
4 the electric vehicle demand that we see today is
5 undergoing that sort of pattern of charging. And
6 so that's why we set it as some of the baseline.

7 But as electric vehicles become
8 increasingly adopted in these platforms and
9 surfaces, there is some compelling evidence that
10 they might switch to overnight charging, you
11 know, whether it's at residential locations or
12 some overnight public locations. That will
13 decrease the energy requirements in this
14 deployment model. And when we run some of those
15 results we find that the number of total chargers
16 really decreases by a large amount, especially as
17 you sort of go all the way down to, you know, low
18 levels of public charging requirements. And so
19 that's important to keep in mind when thinking
20 about these results. There will also be other
21 scenarios that are going to have lower levels of
22 infrastructure requirements.

23 And then, lastly, I want to sort of tie
24 in this work with what's being done in EVI-Pro 2.
25 So this model currently is being deployed as a

1 standalone where the infrastructure is sort of
2 held independent from existing infrastructure and
3 potential future infrastructure that's getting
4 installed for the general public.

5 And the sort of big next step in our
6 modeling trajectory is to include and integrate
7 public chargers, existing public chargers and
8 chargers that are going to be forecasted to be
9 installed from EVI-Pro 2 and RoadMap [sic] and to
10 be able to introduce competition with sort of
11 your non-TNC EV drivers. And so that's likely
12 going to influence some of the outputs of the
13 model. And so at this point you can really think
14 of the projections here as kind of a bookend of
15 the infrastructure requirements for the vehicles
16 on the platform.

17 And with that, I think I can end here.
18 There's some acknowledgments. But I'm happy to
19 take any questions about the model.

20 MR. RAMESH: Great. We have until 3:35
21 for questions.

22 MR. JENN: Okay.

23 MR. RAMESH: So I will take the questions
24 from the Q&A box now. I don't see any raised
25 hands yet.

1 So the first question is from Dean
2 Taylor. "Did you factor the ongoing cost of home
3 versus away from home charging when considering
4 need and utilization? (Indiscernible) 2017 shows
5 it to be about three to four times more for away
6 from home charging versus home charging."

7 MR. ALEXANDER: And, Raja, I have a
8 feeling that this is about EVI-Pro 2. I think
9 this question popped up right at the beginning of
10 Alan's presentation, so I'll --

11 MR. JENN: Yeah. Go ahead.

12 MR. ALEXANDER: -- jump in.

13 MR. JENN: Yeah.

14 MR. ALEXANDER: So, yeah, EVI-Pro 2, we
15 don't factor in the actual cost, necessarily.
16 You know, we don't have like a big cost
17 spreadsheet at this point.

18 But, oh, I see that Dean has his hand
19 raised. So maybe we can go to him and just make
20 sure that we're addressing his question properly?

21 MR. RAMESH: Go ahead, Dean. You're un-
22 muted now, or you can -- you're able to un-mute.

23 MR. TAYLOR: Can you hear me?

24 MR. RAMESH: Yeah. Go ahead.

25 MR. TAYLOR: Yeah. Matt was correct. I

1 was thinking mainly of EVI-Pro 2, but also maybe
2 RoadTrip as well. And maybe it even affects the
3 TNC model. I don't know.

4 MR. ALEXANDER: Gotcha. Yeah. So in
5 EVI-Pro 2, we have -- we rank charging types
6 based on preferences. So you know, it goes
7 residential, then workplace L2, then public DC
8 fast charging, and then public Level 2. We don't
9 incorporate actual costs yet, although we are,
10 you know, in future work planning to incorporate
11 rate structures and those types of things. So
12 that's how we're implementing this in EVI-Pro 2
13 right now.

14 MR. RAMESH: Great. Next question from
15 Jim Frey at 2050 Partners, "For Alan, is your
16 model exploring load curve impacts if more
17 opportunity charging is available, possibly with
18 wireless charging spots at well-assigned
19 locations where TNC vehicles queue up?"

20 MR. JENN: Yeah. So good question. This
21 is -- there are a couple things to unpack here.

22 In the model we actually, originally, had
23 it as an individual vehicle sort of queuing
24 system and traveling system. And that ended up
25 making the model too complex. So we aggregated

1 the vehicles and we have a proxy method for
2 deploying the vehicles to a charger and ensuring
3 that there's some kind of like congestion
4 measures there so that you can't just like stack
5 everyone at the same time. And so that part is
6 kind of taken into account.

7 And the other thing that I'll say with
8 regards to opportunity charging, especially
9 thinking about, I think, this question is really
10 thinking about opportunities with aligning with
11 the like load curves so that if you wanted to,
12 you know, try and promote charging during times
13 where there's more solar, for example.

14 And so that's not currently integrated
15 into the model. But we've designed it in such a
16 way that we could integrate that pretty easily.
17 So right now the like opportunity costs or the
18 cost of charging is sort of just flat. And then
19 you have distinctions on when they're charging
20 based off of the like congestion proxy.

21 But what we can do is really easily
22 introduce a price, a non-flat price, right, so
23 you could have different prices over time. That
24 would then induce the model to promote, you know,
25 the drivers to be charging when it's cheaper.

1 And so that's actually built into the model. It
2 hasn't been -- we haven't added the variation in
3 prices yet but it's something that's on the
4 docket for sure.

5 MR. RAMESH: Thanks Alan.

6 Next question from C.J. Berg. And after
7 B. Boyce's question, I'll take Ray Pingle's
8 question from the raised-hand list.

9 So C.J. Berg's question is, "How does the
10 WIRED model take into account Uber and Lyft 100
11 percent commitments by 2030?"

12 MR. JENN: Yeah. So as I mentioned, the
13 projections of EVs on the platforms are based off
14 of the ARB projections. I actually am not
15 extremely knowledgeable about what sort of went
16 into those projections and whether they're
17 considering these 100 percent commitments.
18 They're meant to sort of follow the Clean Mile
19 Standard requirements. And so insofar as those
20 line up with the commitments, then the model will
21 sort of be taking that into account. If they're
22 not at 100 percent, then the WIRED model will
23 probably be sort of underestimating the
24 infrastructure requirements.

25 But, honestly, when I look at those

1 numbers, you're talking about 300,000 EVs on the
2 platform by then, that's got to be a fairly high
3 proportion of the vehicles that are currently
4 driving on those platforms.

5 So if I had to guess, it would be fairly
6 close if not at 100 percent.

7 MR. RAMESH: Great. Thanks.

8 It looks like B. Boyce's question will be
9 answered in writing. Noel's typing an answer.

10 MR. JENN: Okay.

11 MR. RAMESH: Do you have anything to add
12 orally?

13 MR. JENN: Yeah. So with -- the range of
14 the vehicles is actually something that's
15 considered pretty carefully in this analysis. In
16 the current day, like 2020 runs, it's actually
17 looking at the existing data. And it looks --
18 and we're actually able to observe, sort of on a
19 model-by-model level, what the existing battery
20 ranges are on the road, and so that's all taken
21 into account.

22 And then as you move into the
23 projections, the projections actually have more
24 detailed breakdowns than what I was providing
25 about just total number of electric vehicles.

1 They have like long-range and short-range BEVs,
2 and plugin hybrids, and so those are all
3 included, although I will say that what you saw
4 here is mainly just for full battery-electric
5 vehicles.

6 MR. RAMESH: Great. So I'm about -- I've
7 just allowed Ray Pingle to talk.

8 Feel free to un-mute.

9 MR. PINGLE: Great. Ray Pingle, Sierra
10 Club California.

11 So, Alan, I just had a question on this
12 issue of overnight charging. So I'm not expert
13 in TNCs. And just the few rides I've done the
14 vehicles have been owned by the drivers.

15 MR. JENN: Um-hmm.

16 MR. PINGLE: And so it seems to me that
17 if that were the case for the EVs, the drivers
18 use them for their personal use whenever they're
19 not on the meter, and they could charge them
20 overnight and then they go to work at whatever
21 time and, you know, they're on the meter. So it
22 seems like there might be real opportunity for a
23 higher percentage of these vehicles to be
24 overnight charged.

25 But what conversations have you had with

1 the TNCs on what the business models are on that?

2 MR. JENN: Yeah. So important question
3 about overnight charging, as I mentioned right in
4 my conclusion slides. That's going to play a
5 really big role in what the model outputs are
6 going to say.

7 So let me -- I guess I'll really quickly
8 kind of reiterate that, you know, our model
9 doesn't like explicit -- or endogenously sort of
10 decide how much overnight charging there is.
11 Because, you know, we have a lot of uncertainty
12 about this, it's kind of left as this parameter
13 that you can put on a sliding bar. And so
14 everything I showed here was like the sliding bar
15 on the extreme end where not -- where you're not
16 really seeing much overnight charging.

17 And so the sort of impetus behind this is
18 when we look at the data today, yes, there are
19 some drivers that are doing overnight charging
20 with privately owned vehicles. But the vast
21 majority of the energy demand for the electric
22 vehicles on TNC and Uber -- or on Uber and Lyft
23 platforms are actually coming from like leased
24 vehicles that are the short-term fleet rentals
25 that are taking advantage of discounted public DC

1 fast charging. And so most of the energy that is
2 being supplied is coming from DC fast charging
3 which, again, isn't to say that we don't think
4 there's going to be any overnight charging in the
5 future.

6 And so as a continuation of the work that
7 you're seeing here, we've developed a whole bunch
8 of additional scenarios where we do consider
9 there to be lots of overnight charging. And it
10 really does make a big difference in the number
11 of public infrastructure that's required.

12 When we have sort of private
13 conversations with TNCs, there's a lot of
14 discussion about the sort of demographics of
15 drivers and whether or not that really -- that
16 possibility is going to become reality because,
17 you know, there's a lot of questions about access
18 to, you know, overnight charging, residential,
19 you know, particularly if the driver doesn't own
20 their own home and doesn't have the ability to,
21 you know, have a plug where they're parking the
22 vehicle overnight.

23 And so those conversations are happening.
24 And from a modeling perspective, we're trying to
25 leave that as an open-ended question where we

1 just provide scenarios that we can see. You
2 know, if we think there's, you know, 50 percent
3 overnight charging or 80 percent overnight
4 charging, we can run that and look at that.

5 MR. RAMESH: Okay. Thank you.

6 So time check. We have three minutes,
7 actually, only left for this section but we'll
8 try to get all the questions that have already
9 been submitted in.

10 So with that in mind, this question also
11 looks like it's some overlap with the last
12 question from Jamie hall at GM. "Apologies if I
13 missed this but what did you assume the overnight
14 charging access and, particularly, home charging
15 access? And can you go into any more detail on
16 the compelling evidence that TNC charging will
17 increasingly move overnight?"

18 MR. JENN: Yeah. So the only thing I
19 guess I'll say about this, in adding on to what
20 I've already said about the overnight, is that,
21 you know, generally the more privately owned
22 vehicles are tending to have higher proportions
23 of overnight charging. And so insofar as Uber
24 and Lyft sort of maintain, you know, the model
25 where you have individual ownership as opposed to

1 like a fleet-based ownership, you might expect
2 that that proportion will increase. And that's
3 the sort of main argument for that.

4 And again, like I think, hopefully, I've
5 provided enough perspective that that is kind of
6 muddying the waters both ways. I personally am
7 not entirely sure, which is why we're kind of
8 approaching the modeling in the way that I've
9 described.

10 MR. RAMESH: Next question from Eric
11 Carhill at SMUD. "Have you attempted to
12 characterize infrastructure needs based on
13 different ride-hail driver profiles, for example,
14 full-time versus part-time, single-family home
15 versus multi-unit dwelling residence, et cetera?
16 Are there any simulations attempted based on
17 assumptions for how much these different driver
18 profiles are able to charge overnight?"

19 MR. JENN: Yeah, similar type of
20 question.

21 The quick thing that I'll say is that the
22 -- while we don't explicitly break out the
23 different driver profiles, because they're --
24 because we're bootstrapping from real empirical
25 data, we're capturing in a really sort of

1 representative way the different profiles of the
2 drivers. And so I think that the model does a
3 good job of really capturing the heterogeneity
4 drivers that are across the platforms.

5 MR. RAMESH: Next question from Kevin
6 Karner. "Were those 90 percent of the TNC miles
7 within five miles of where a driver last charged
8 or within five miles of DC fast chargers in
9 general? If it's the former, is that indicative
10 of the range anxiety?"

11 MR. JENN: Yeah. So in this model the
12 way that we deal with that is we have this sort
13 of penalty weight that basically says, hey, if I
14 have to drive really far from where I'm providing
15 my ride to where I need to charge the vehicle,
16 there's this penalty thing that the model applies
17 for the infrastructure deployment. And so it's
18 balancing all of these things about how far the
19 drivers need to travel, how long it takes for
20 them to charge. Yeah, so for the math geeks, you
21 can see that here. And, obviously, this is
22 described in more detail in the report.

23 But so we are explicitly taking into
24 account the fact that distance to the charger is
25 an important factor for the drivers.

1 MR. RAMESH: Great. Thanks. And just
2 for the record, I'll read Kevin's full question.
3 "In the published paper that corresponded to this
4 research it was stated that some 90 percent of
5 electric TNC trips were within five miles of the
6 DC fast chargers. Were those 90 percent of eTNC
7 miles within five miles of where a driver last
8 charged or within five miles of DC fast chargers
9 in general? If it's the former, is that
10 indicative of range anxiety?"

11 MR. JENN: It's within five miles of the
12 actual trips that are being provided, so origin
13 or destination of the trips. And that is,
14 actually, not something that we like explicitly
15 put a cutoff for. That's actually something that
16 the model ended up deciding based off the weight
17 that we -- or the penalty weight that we put in.

18 MR. RAMESH: Got it.

19 A question from Sean. "It looks like the
20 WIRED model only looks at the three most populous
21 areas on California. Do you have plans to use
22 the WIRED model to look at medium and small rural
23 areas to see if trends all look to be similar or
24 if a region may be different?"

25 MR. JENN: Yeah. So the reason why we're

1 able to do the -- run this model at such a high
2 resolution is because we have good data from the
3 TNCs in these specific zones. And so if I'm able
4 to get access to data for areas outside of these
5 cities, I'm happy to sort of run the model and
6 apply it to those. But it really is more of a
7 sort of data restriction that we are able to, you
8 know, limit our analysis to those zones than
9 anything else.

10 MR. RAMESH: Okay. And last question,
11 also from Sean Tiedgen, "While not TNCs, have you
12 considered or thought about public transit
13 agencies that may be running ZEV microtransit
14 services that operate similarly to TNCs and may
15 want to have charging -- and may have charging
16 needs like TNCs?"

17 MR. JENN: Yeah, that's an interesting
18 thought. It's not something that we've really
19 thought about yet. But, potentially, the
20 approach and framework that we use here can be
21 applied to something like that. And so if, yeah,
22 I guess if there's a need and there's data
23 availability, we'd be happy to take a look at it.

24 MR. RAMESH: Great. So with that, thanks
25 everyone for the questions in this segment.

1 We'll keep our five-minute break, so now running
2 on a five-minute delay, and we'll return at 3:43,
3 so a three-minute delay.

4 (Off the record at 3:38 p.m.)

5 (On the record at 3:43 p.m.)

6 MR. RAMESH: We'll now move into a
7 presentation from Noel Crisostomo on the HEVI-
8 LOAD model.

9 MR. CRISOSTOMO: Thanks Raja.

10 My name is Noel Crisostomo. I lead heavy
11 vehicle charging infrastructure analysis in
12 collaboration with colleagues at Lawrence
13 National Laboratory, Bin Wang, Cong Zhang, and
14 Doug Black, on a project titled On-Road Medium-
15 and Heavy-Duty Electric Vehicle Infrastructure
16 Load Operations and Deployment, or HEVI-LOAD for
17 short.

18 Next slide.

19 HEVI-LOAD is a simulation model that
20 estimates charging demand for vehicles that weigh
21 more than 10,000 pounds gross vehicle weight
22 rating which dovetails next to EVI-Pro 2. As
23 directed by AB 2127, HEVI-LOAD was developed to
24 expand CEC's infrastructure analysis. And so,
25 like electric trucks, it is relatively newly and,

1 thus, its results are still in flux.

2 As I'll describe at the end of my
3 presentation, this dynamism represents an open
4 and ongoing call to action to work with our team.
5 Today, HEVI-LOAD simulates the electricity
6 demanded by BEVs traveling intra-regionally and
7 designs a supply of overnight and daytime
8 infrastructure necessary to meet demand without
9 behavioral changes. Key outputs include the
10 number, type by power level, and region of
11 chargers, and the 24-hour load profile for a
12 range of use cases.

13 Next slide.

14 HEVI-LOAD top-down phase was first
15 presented in detail during our August IEPR
16 workshop. So during this presentation, I will
17 highlight major changes to the three sequential
18 modules in the top-down scenario -- or top-down
19 analysis, focusing principally on the Mobile
20 Source Strategy scenario in the right-hand
21 column.

22 The first module projects vehicle
23 populations by county annually. In August, we
24 used a draft of the Mobile Source Strategy and
25 enhanced the vehicle population with regional

1 adoption targets informed by the South Coast Air
2 Quality Management District. Our update captures
3 a higher penetration of medium- and heavy-duty
4 vehicles aligned with the October version of the
5 Mobile Emissions Toolkit Analysis, or META tool,
6 used in the CARB recent Mobile Source Strategy
7 update.

8 The second module just aggregates trips
9 using a combination of actual truck operations
10 and a simulation of hourly conventional fuel use.
11 A key improvement from August was a transition
12 from an assumed set of electricity consumption
13 rates to one that leverages a vehicle powertrain
14 physics model in which consumption is calculated
15 by representing how a vehicle mass moves
16 throughout a road network. To conservatively
17 estimate consumption we chose the maximum GVWR
18 for the relevant classes to the vehicle
19 applications. In this case, we made simplifying
20 assumptions to distribute the populations for
21 vehicles in their applications that cross
22 multiple weight classes.

23 The third module is a charging
24 infrastructure assessment that assigns the
25 probability of charging need according to a

1 logical model of a truck's hourly driving, trips
2 or parking behaviors throughout the day.
3 Charging corresponds to the vehicles battery
4 packs which are designed proportional to their
5 classes. However, in this iteration, we've
6 represented technology progress according to a
7 conservative five percent per year improvement in
8 energy density based on a continuation of
9 recently-observed improvements among battery
10 manufacturers. Like in August, charging options
11 are set at predefined levels of 50 and 350
12 kilowatts, the maximum rating for passively-
13 cooled CCS.

14 The next slide shows the Mobile Source
15 Strategy scenario. The Mobile Source Strategy
16 scenario yields, for a 2030 population of about
17 180,000 battery-electric medium- and heavy-duty
18 vehicles, a network need of roughly 157,000 DC
19 chargers, the majority of which are 50 kilowatt
20 chargers used overnight. Those that are unable
21 to sufficiently charge with this relatively low
22 power also used 350 kilowatt chargers during the
23 day.

24 One thing to note is the ratio of EVSEs
25 to EVs is less than one, which represents the

1 potential to share charging for fleets that are
2 collocated. The trajectory shows overall
3 proportional growth in the two charging options
4 over time, according to the population of the MSS
5 trajectory. But it is worth emphasizing that,
6 again, these results will change as our analysis
7 continues.

8 On the next slide I highlight the
9 associated load profile with the 2030 network.
10 The load showing here simplifies the Air
11 Resources Board's emissions factors and CEC's
12 Transportation Energy Demand Forecast tools where
13 we have vehicle categories grouped into nine
14 groups for simplification, medium-duty trucks,
15 agriculture trucks, other freight trucks,
16 construction trucks, utility trucks, tractor
17 trailers, drayage trucks, refuse trucks, and
18 buses.

19 While these groupings represent a wide
20 range of use cases and classes and applications
21 that vary by county and, in some cases, have not
22 been well demonstrated commercially yet, we can
23 observe rough estimations of the load profile on
24 the right side of the chart, for example, medium-
25 duty trucks charging in the evening and morning

1 while they operate throughout the day on the
2 road, buses charging primarily away from
3 commuting hours, and drayage trucks charging
4 after the morning and after daytime operations.

5 At this stage of the analysis for 2030 we
6 are simulating a charge to vary from a minimum of
7 about 1 gigawatt in the morning to 2 gigawatts
8 during the evening. But as I'll describe on the
9 next slide, these profiles will change.

10 To recap our modeling efforts thus far,
11 quantifying medium- and heavy-duty battery-
12 electric vehicle charging infrastructure
13 necessarily is evolving. Which vehicle fleets
14 will require chargers, of a range of power
15 capabilities, where they're located across the
16 state, and when they will actually show up depend
17 on regulatory compliance. Local preparations for
18 these electric upgrades to support this
19 infrastructure will be critical given the unique
20 use profiles across urban and rural economic
21 activities. So as these change, we'll have to
22 evolve our model as such. Data on this front, as
23 well as fleet and driver behaviors, are critical
24 to develop robust hourly energy profiles.

25 Simultaneously, the rapidly evolving

1 technologies in this sector require revisiting
2 this analysis with up-to-date characterizations.
3 Given the relatively smaller population of
4 medium- and heavy-duty vehicles and the high
5 variations in energy consumption across the
6 classes, vehicle models and charging capabilities
7 warrant close market monitoring, and then
8 incorporation into the model. However, the
9 uncertainties that I'm ascribing to these top-
10 down estimates can and will be complimented with
11 bottom-up modeling to progress on improving the
12 definition of infrastructure which will be
13 necessary for the state to meet its climate and
14 air quality goals as described on the next slide.

15 The HEVI-LOAD Team is creating several
16 features. First, it is improving the alignment
17 among the Energy Commission's econometric choice
18 models, alluded to earlier by Matt, and CARB's
19 Mobile Sources Strategies, as well as the
20 regional Air Quality Districts' implementation of
21 their air quality targets so that our model not
22 only meets attainment but also reflects fleet
23 operators likely acquisition of fleets.

24 In addition, we are developing higher
25 resolution load profiling, moving from the hourly

1 basis to the minute level, leveraging vehicle
2 telematics where possible.

3 Further, LBNL is developing agent-based
4 modeling to reflect truck operations within the
5 road network. This includes developing and
6 economic activity model to represent trips
7 between origins and destinations. And with this,
8 we'll be able to improve the capability of
9 chaining trips together and charging along the
10 way at truck stops. We will also identify
11 specific truck parking and fueling stations.

12 Another benefit from improved time
13 resolution is the ability to transition from
14 administratively assigning 50 or 350 kilowatt
15 chargers as a prescribed power level. HEVI-LOAD
16 is being updated to calculate a minimum power
17 necessary to meet the trip up to the megawatt
18 level. Improving the agent-based model has
19 knock-on effects for station siting and sizing
20 with respect to the power that is fed to each
21 individual site. And upon this, HEVI-LOAD is
22 tasked with a flexibility analysis where we will
23 be incorporating utility tariff and smart
24 charging into the analysis. Notably, this is not
25 reflected in the load profile in the prior slide.

1 Flexibility and utility rates will be
2 integrated into HEVI-LOAD, as well as the other
3 loads that have been presented today, as we are
4 developing EDGE, the EVSE Deployment and Grid
5 Evaluation tool, which will be discussed by my
6 colleague Micah tomorrow. This will culminate in
7 a standalone HEVI-LOAD report in which a detailed
8 methodology, county-level analysis, and the
9 results to 2035 will be published.

10 Next slide.

11 To preview what the LBNL Team has in
12 progress with respect to the agent-based model,
13 we have some GIFs on the road network that is
14 being modeled in the agent-based model.

15 On the left we have the road network with
16 truck stops shown in blue and individual trucks
17 moving about in red. You can see them moving
18 throughout, primarily, the South Coast, but also
19 taking long-haul trips through the Central Valley
20 and along the 80. On the right we have an
21 individual long-haul truck, more specifically,
22 traveling from the South Coast, shown in blue,
23 stopping, charging in the Central Valley, and
24 then continuing along its way north to the Bay
25 Area. This shows the potential for agent-based

1 modeling.

2 The next slide shows how we can work
3 together to improve this capability. The key to
4 increasing the realism of the model and,
5 therefore, the accountability of grid plans that
6 these results may be used for, would be receiving
7 your input and contributions. I'll review key
8 topics. And we'll be happy to discuss these
9 during the Q&A or during follow-up meetings.

10 First, we need your suggestions on how to
11 characterize the state's efforts within the local
12 context of specific regulatory measures,
13 particularly in the regions where medium- and
14 heavy-duty vehicle electrification in the near
15 term is most critical to meet our air pollution
16 reduction, clean air, and equity goals to support
17 disadvantaged communities that are
18 disproportionately affected by medium- and heavy-
19 duty pollution.

20 Next, we are seeking travel data to
21 support the simulated and telematics data that we
22 have and are investigating the use of regional
23 economic activity models. However, these are
24 complimented best by interviews with fleets so
25 that we can better understand drivers'

1 preferences and design infrastructure
2 accordingly.

3 In addition, we'd like to improve
4 technology configurations, especially with near-
5 term battery-electric truck models and, in the
6 long term, accounting for improvements in battery
7 technology, as well as understanding the role of
8 plugin hybrid electric trucks of fuel cell
9 battery-electric trucks, especially in alignment
10 with CalEPA's ongoing Carbon Neutrality Study
11 being conducted by the University of California.

12 In addition, we understand that this
13 technology is rapidly changing but would like to
14 understand the loading of charging over different
15 states of charge on the megawatt scale in order
16 to improve our grid upgrade analysis.

17 Lastly, we'd like to work with utilities
18 to identify the potential for electrification
19 within their territories as they understand their
20 customers' existing electrical condition as well.
21 HEVI-LOAD can identify where distribution systems
22 will need reinforcement well ahead of time to
23 reduce the time for construction, as my colleague
24 Micah will describe tomorrow with EDGE.

25 I conclude on the next slide with a final

1 note to publicize some recent efforts in the
2 medium- and heavy-duty space. You might be aware
3 of studies not directly related but complimentary
4 to HEVI-LOAD with two highlighted. First is the
5 West Coast Clean Transit Corridor Initiative
6 Study from June 2020, and a Strategic Development
7 Plan released in March 2020 by the West Coast
8 Collaborative Medium- and Heavy-Duty Alternative
9 Fuel Infrastructure Corridor Coalition. Notably,
10 the survey is still active until the end of March
11 to seek feedback on the demand from medium- and
12 heavy-duty alternative fuel infrastructure on the
13 West Coast.

14 These organizers seek input on funding
15 levels for alternative fuel stations accessible
16 to Class 5 and above vehicles, as well as
17 locomotives, marine vessels, and other heavy-duty
18 off-road equipment. If you have input, we
19 encourage you to help the effort by completing
20 the survey, of course, in addition to helping out
21 with HEVI-LOAD.

22 So now to fully segue to off-road
23 equipment, I'd like to introduce my colleague,
24 Jeffrey Lu, who will give the next presentation.

25 Thank you.

1 MR. LU: Hey folks. My name is Jeffrey
2 Lu. I'm Staff here at the CEC and one of the
3 coauthors of this AB 2127 Charging Infrastructure
4 Assessment. I want to wrap up today's
5 presentations by going over some of our findings
6 regarding off-road electrification and charging
7 needs. Under AB 2127, the CEC is tasked with
8 analyzing charging needs for both on-road and
9 off-road sectors, and that includes, among other
10 things, port and airport electrification.

11 Next slide please.

12 First off, Governor Newsom's executive
13 order from late last year drastically compressed
14 the timeline for off-road electrification. As a
15 reminder, the order calls for 100 percent zero-
16 emission off-road operations by 2035 where
17 feasible. And I'll note that this is -- this
18 goal targets operation and it's not simply a
19 target for new sales.

20 Prior to the executive order,
21 electrification in off-road sectors was largely
22 driven by air quality goals. CARB has several
23 zero-emission regulations in the works as part of
24 their Mobile Source Strategy and, also, their
25 Sustainable Freight Action Plan. One major

1 regulation targets transportation refrigeration
2 units and called -- previously called for zero-
3 emission truck units and zero-emission stationary
4 operation of trailer and railcar units. However,
5 in light of the executive order, CARB recently
6 announced that this rulemaking is being split
7 between the truck and trailer TRUs to consider
8 ways to achieving -- to achieve full zero-
9 emission operation across both types of TRUs.

10 CARB is also working on regulations for
11 cargo handling equipment that's used at ports and
12 railyards, as well as forklifts, and also airport
13 ground support equipment. These pending
14 regulations from CARB will be really key in
15 determining the future vehicle and equipment
16 populations. And the CEC will align with CARB's
17 population projections whenever they're available
18 as a baseline for assessing off-road charging
19 need here in the state.

20 Aside from CARB's efforts, many local
21 Clean Air Action Plans also included electrifying
22 off-road operations as well. So, for example, in
23 2017 the San Pedro Bay Ports published an update
24 to their Clean Air Action Plan which targeted
25 zero-emission cargo handling equipment wherever

1 feasible. Similarly, if you look at Clean Air
2 Plans for places like Los Angeles International
3 Airport or San Jose International Airport, those
4 plans have identified electrifying ground support
5 equipment as a strategy to reduce local emissions
6 and air pollution.

7 Next slide.

8 Now that's not to say that regulation has
9 been the sole driver behind electrification in
10 off-road. In fact, in the past year or two
11 alone, many manufacturers have begun introducing
12 electric offerings for a broad range of off-road
13 sectors. Some of these are coming onto the
14 market because of stricter local city emission
15 policies in Europe. But I think a lot are also
16 coming onto the market because the technology is
17 ready and is increasingly cost competitive.

18 So I've picked out a couple examples here
19 that we can briefly go over. From the left going
20 clockwise, we have a backhoe from CASE. We have
21 the mobile power station from Dannar which is a
22 sort of multi-purpose vehicle that's compatible
23 with existing industry attachments. At the top
24 right we have a mini excavator from JCB. The
25 bottom right an electric and, also, semi-

1 autonomous tractor from Monarch Tractors, and
2 this is for agricultural use. And we're actually
3 even seeing movement in electric aviation,
4 particularly in vertical takeoff and landing.
5 The one shown at the bottom there is from Lilium.

6 Next slide please.

7 In terms of charging needs, off-road
8 needs are -- often have the same challenges as
9 what we see in on-road medium-duty/heavy-duty.
10 So most prominently, most off-road applications
11 are extremely demanding in power and energy.

12 So as an example, a demonstration top
13 handler at Port of Long Beach that's designed
14 jointly by Taylor and BYD, that has nearly 1
15 megawatt hour of battery capacity onboard and it
16 charges at 200 kilowatts. Now I suspect that the
17 200 kilowatt charge rate would be even higher if
18 higher power connectors were more widely
19 available.

20 In the future, when megawatt-capable
21 connectors are available and more common, many
22 vehicles will need the infrastructure to support
23 that full charge power. One megawatt, or even
24 two or three megawatts, is a lot of power. And
25 it's challenging to support that load in any

1 environment. Getting there will require,
2 probably, distributed energy resources to manage
3 existing grid constraints and, also, to avoid
4 costly grid upgrades.

5 The space required for this sort of
6 infrastructure is also a challenge, especially at
7 ports where space can be really limited. In some
8 sectors, such as agriculture or construction, for
9 example, there may be no grid availability at
10 all, meaning that customers who are electrifying
11 will also have to investigate onsite generation
12 as part of their investment.

13 Separately, we're heard, time and time
14 again, complaints from early adopters and
15 operators about the lack of interoperability of
16 charge connectors, including, sometimes, between
17 vehicles from the same manufacturer. There's a
18 wide range of connectors used in off-road today.
19 Some use the J1772 Level 2 connector for
20 charging. Some use CCS. A lot of them use
21 proprietary implementations that aren't
22 compatible with other vehicles at all. Many
23 connectors designed specifically for the medium-
24 duty and heavy-duty sector are still under
25 development.

1 And the CEC recognizes that while there
2 is going to be a range of interfaces depending on
3 use case, so for example, a robotic pantograph or
4 a handheld conductive connector or a wireless
5 charging, where possible the CEC is going to
6 prioritize chargers which conform to standardized
7 implementations, even if those interfaces may
8 look different.

9 Off-road -- the off-road sector also
10 sometimes faces challenges with who is
11 responsible for charging infrastructure. And
12 with landlord-tenant relationships the incentives
13 are somewhat muddy. This is true, especially at
14 our ports and airports where, generally, the
15 equipment operators, so the terminal operators or
16 the airlines, are not responsible for
17 infrastructure investments at the port or
18 airport. So scaling to 100 percent zero-emission
19 will require a tighter level of coordination and
20 planning between landlords and tenants.

21 And finally, many off-road applications
22 have very rigid duty cycles and schedules. So if
23 you think about cargo handling equipment at a
24 port, for example, they have minimal downtime,
25 even at night, I guess maybe two or three hours

1 depending on the -- how the schedules are set up.
2 These constraints mean that opportunity charging
3 under existing setups is pretty challenging.

4 And there are also, sometimes, work rules
5 about who is responsible for the refueling of
6 equipment. And this can complicate the charger
7 planning and, also, ongoing operations. Some
8 interfaces, for example, that robotic pantograph
9 I referenced for wireless charging, those may not
10 have these same work rule problems because
11 they're generally automated systems.

12 Next slide.

13 The CEC is working on a detailed report
14 on off-road charging needs. And that's going to
15 be based off a prior off-road electricity demand
16 forecast that we completed in 2019 as part of a
17 broader demand forecast analysis. The idea is
18 that we're going to update this report with the
19 latest population projections from CARB whenever
20 they're available. That will generate an updated
21 demand -- electricity demand forecast. And from
22 there we can begin estimating charger needs
23 throughout the state.

24 On top of that, this report is also going
25 to feature a broader range of analysis, include

1 sectors that were previously ignored, for
2 example, agriculture, aviation such as eVTOL, and
3 also construction. We're hoping to get this
4 published later this year, so stay tuned for
5 that.

6 I think that's all I have for today.
7 Thank you all for making time and being here with
8 us. We can move into question and answer. So
9 please submit anything to the Q&A box or raise
10 your hand if you'd like to speak.

11 MR. RAMESH: Thanks Jeffrey and Noel.

12 So this is our final question and answer
13 session for today. It will be cumulative, if
14 you'd like. And we'll take the questions in the
15 order we receive them.

16 So starting with Dean Taylor, "In 2019,
17 LBNL Class 7 and 8 medium- and long-range
18 semitruck preliminary study found only 750 DC
19 fast chargers needed away from home. Why so many
20 more needed, 16,000 in HEVI-LOAD?"

21 MR. ZHANG: Okay. I can try to answer
22 the question.

23 First, the difference comes from a few
24 different reasons. First is about the
25 forecasting year. In this report, it is for the

1 report 2030.

2 And second is about the vehicles we are
3 forecasting. And here we can see it is 180
4 thousand vehicle number here. And the third is
5 about the methodology we are using where we
6 assign a high charging power or the low charging
7 power decided by the time. For the heavy- and
8 medium-duty, we're saying in the daytime when
9 it's working, it needs the high charging power
10 because the time is expensive. And they can use
11 low charging in the night.

12 So here the methodology is also
13 different. First it's about the vehicle class
14 type: we cover from the Class 4 until Class 8,
15 which means -- meaning the vehicle weight is more
16 than 10,000 pounds. And so here is a few
17 different reasons that lead to the result.

18 And, also, I can give a, roughly, charger
19 forecast here is for the 50 kilowatts charger,
20 it's around 0.8 chargers per medium- and heavy-
21 duty vehicle. For the 350 kilowatt charger, it's
22 at around 0.09 per car. Yeah. Here is a rough
23 estimation.

24 MR. RAMESH: Great. Thanks Cong.

25 Next question from Eric Cahill at SMUD.

1 "For Noel, has CEC given any consideration to
2 using CALSTART's beachhead approach in which most
3 EV-ready commercial applications and duty cycles
4 are fulfilled ahead of other less EV-ready ones,
5 e.g. buses, delivery vans, ahead of long-haul
6 trucking?"

7 MR. CRISOSTOMO: Yes. So the vehicle
8 projections is one of the key areas of change
9 that is possible. And as I called out, the
10 differences across -- Raja, if you could go to
11 the slide with table? -- the differences across
12 the medium demand scenario, the high-charging
13 demand scenario, and the Mobile Source Strategy
14 scenario do include very different populations of
15 different applications over time. And this is
16 coming as a result of the scenario tool at CARB,
17 but also the economic metric tools that we're
18 analyzing.

19 And so while we haven't applied the
20 beachhead approach, that's actually, perhaps, a
21 qualitative analysis that we may need to examine
22 more closely to account for actual fleet
23 behaviors in case there is early compliance in,
24 say, the beachhead applications.

25 So if -- we'd like to suggest that, we'd

1 welcome the comment filed and are open to having
2 a further conversation on which portfolios to
3 use.

4 MR. RAMESH: Next question from Bob
5 Coale. "Has the HEVI-LOAD model considered
6 battery changeout technology?"

7 MR. CRISOSTOMO: Yeah. Thanks Bob. The
8 current iteration of HEVI-LOAD does not include
9 battery swap out for these vehicle classes. It's
10 exclusively a conductive connector-based charging
11 opportunity. The main reason for this is, to our
12 knowledge, we haven't seen battery swapping
13 applied in these segments yet, as well as our
14 participation in the Charging Interface
15 Initiative Task Force for higher-power commercial
16 vehicle charging on the megawatt level. So
17 acknowledging the number of manufacturers, both
18 of heavy-duty trucks and charging equipment, we
19 haven't applied an analysis that looks at battery
20 swapping.

21 MR. RAMESH: Okay. I'll take Ray, and
22 then I'll go to Shiba Bhowmik.

23 Go ahead, Ray.

24 MR. PINGLE: Thanks. Ray Pingle, Sierra
25 Club California. Just a few quick things.

1 So one, Noel, the Mobile Source Strategy
2 had 40,000 trucks, medium-duty trucks, by 2030
3 and 170,000 heavy-duty, which totals to 210,000
4 versus the 180,000. And I don't know if you
5 maybe discounted for fuel cells as part of that
6 but just the number from Mobile Source is
7 210,000. So maybe you could answer that? And
8 I've got two more quick things.

9 MR. CRISOSTOMO: Yeah. I believe the
10 decrement there is the weight rating. So, for
11 example, of the 10,000 above is HEVI-LOAD, and
12 then 10,000 and below is EVI-Pro 2. So --

13 MR. PINGLE: Okay. I'm with you. Okay.
14 Thank you.

15 And then --

16 MR. CRISOSTOMO: Matt had to take some of
17 the medium classes into EVI-Pro 2.

18 MR. PINGLE: Gotcha. Gotcha. Okay.

19 And then one of the analyses that you
20 used in the HEVI-LOAD is the CARB tool on, you
21 know, truck viability, suitability. And that
22 derived from Engine Manufacturers Association
23 analysis they did on truck suitability, ranges,
24 and those kind of things. And then CARB -- so
25 that really was produced in 2018. And then CARB

1 updated that tool in February of 2019, so it's
2 been two years since that was done. And,
3 obviously, we've got many more real electric
4 vehicles that are coming on the road. Battery
5 technology has improved a lot so ranges of those
6 vehicle types has increased a lot. And I would
7 think that that could have a material impact on
8 the outcomes of your analysis.

9 So I would recommend seeing whether CARB
10 could take a look at that one more time and
11 update it again for your model.

12 MR. CRISOSTOMO: Yeah. Thanks, Ray, for
13 reading the footnotes. Yes, the ACT rulemaking,
14 led by Paul, was the key data source for that --

15 MR. PINGLE: Yeah.

16 MR. CRISOSTOMO: -- as well as Sarah's
17 META tool. So thanks, Sarah, for joining.

18 Agreed that there are lots of changes
19 going on. I'm always looking for new data. So
20 if you would have suggestions on vehicle models?
21 I just saw a report across my inbox for both fuel
22 cell and battery-electric trucks. I'd like to
23 incorporate them, especially in the near-term
24 years.

25 MR. PINGLE: Okay. And then one last

1 thing is do you have any updated information on
2 when the CharIN megawatt standard might be put in
3 place? And, in any event, are you looking to
4 maybe add another charging model type to go
5 beyond the 50 and 350 and go to one or more
6 megawatts in the near future, in future
7 iterations in the model?

8 MR. CRISOSTOMO: Yes. I don't believe I
9 can offer public information on the megawatt
10 charging standard. But I provided a chat to
11 their YouTube webinar. That happened, I want to
12 say, late December. For the latest on that, I'll
13 let the manufacturers speak for themselves.

14 In terms of megawatt incorporation, Cong
15 and Bin, if you want to add to this, please feel
16 free to un-mute yourself.

17 But, yeah, the goal is to include a
18 transition from an hourly consumption pattern to
19 a minute level. And that will allow us to
20 quantify the kind of minimum power possible
21 necessary to recharge the vehicle within the time
22 frame that it's going to be normally operating or
23 pause, pause at a parking space. So that is a
24 feature in progress.

25 Cong or Bin, would you like to provide

1 any more preview than that?

2 MR. WANG: Sure. For the simulation
3 analysis, different power levels are treated as,
4 you know, inputs from the software users, so we
5 can specify different power levels from -- you
6 know, if it's 50 kilowatt DCFC or 350 kilowatt
7 chargers up to 1 megawatts, we can even specify
8 lower power levels. So the charging load
9 profiles will be estimated even these charging
10 power selections.

11 However, in the optimization-based
12 approach to determine the optimal load charger
13 sizing, and these would specified a range of
14 power ratings, and the algorithm will determine
15 the optimal power level for the specific site.

16 MR. PINGLE: Very good. Thank you.

17 MR. RAMESH: Okay. I will now read the
18 question from Shiba Bhowmik. "Great analysis and
19 studies. Thanks for the CEC's leadership and
20 efforts to seriously consider infrastructure. My
21 apologies at not studying the assessment report.
22 Who is paying for the infrastructure?"

23 So maybe, Noel, you want to start off?
24 But it sounds like --

25 MR. CRISOSTOMO: Yeah.

1 MR. RAMESH: -- this question is general,
2 too, so if other people want to jump in as well?

3 MR. CRISOSTOMO: Yeah. Let's have
4 Commissioner Monahan start. I'm un-muting her.

5 COMMISSIONER MONAHAN: Well, actually,
6 just give me a second so I can put on my EarPods
7 so you can hear me better.

8 So it's a good question about who pays.
9 And this is something that I think we're
10 wrestling with in California, and nationally as
11 well. I mean, at this point the charging
12 manufacturers aren't making money with a lot of
13 the chargers. And so there needs to be public
14 dollars in this period sort of before demand
15 really escalates. And this is particularly
16 important where there's, you know, a barrier in
17 terms of access? So, for example, for people
18 living in apartment buildings, we want to make
19 sure that they have convenient refueling.

20 And we need to make this a transition
21 that works for everybody. No matter where you
22 live, whether you drive a Tesla or a used vehicle
23 or you don't drive at all, we still want to make
24 it, charging, to be ubiquitous and the refueling
25 to be very easy no matter where you live.

1 Utilities are -- so the three major
2 sources of funding right now, I would say, are
3 governments, utilities, and the private sector.
4 And we, in California, have a program called the
5 California Electric Vehicle Infrastructure
6 Project where we have a first-come-first-serve
7 basis for rolling out charging infrastructure.
8 But we're also investing in hydrogen refueling
9 infrastructure. We have specific projects around
10 multifamily dwellings and heavy-duty. So we're
11 really trying to cover all the bases when it
12 comes to building out infrastructure. But we're
13 trying to do this in a really thoughtful and
14 methodical way in partnership with the money
15 that's coming from the private industry and from
16 utilities.

17 MR. RAMESH: Great. Thanks, Commissioner
18 Monahan.

19 Moving to the next question from -- oh,
20 it looks like Shiba's raised their hand.

21 You can un-mute now.

22 MR. BHOWMIK: Thank you. Thank you,
23 Raja. Can you hear me?

24 MR. RAMESH: Yes.

25 MR. BHOWMIK: Hi. Thanks for taking my

1 question. I really appreciate this. My name is
2 Shiba Bhowmik. I'm from Sinewatts. We are a
3 power electronics company, hopefully working on
4 the next generation kind of infrastructure built
5 into the vehicles.

6 So I had a basic question based on -- as
7 a follow-up to my previous question, that is
8 about who is paying for the infrastructure? And
9 thanks for the Commissioner for explaining the
10 process of how this is getting all deployed.

11 If the ratepayers or the taxpayers are
12 burdened with carrying quite a bit of the
13 infrastructure effort -- and there are, also,
14 there are two pieces to this infrastructure, one
15 is the chargers themselves, and then on top of
16 delivering the energy to the chargers, which is
17 basically the utility side and the
18 infrastructure, on 100 percent clean platform
19 within the storage and everything. So if you
20 consider the entire things holistically, there
21 may be some platforms that we ought to be
22 probably looking at instead of trying to burden
23 the taxpayers and the ratepayers with this in
24 that sense, meaning -- let me explain this a
25 little further.

1 If the right ratepayers are having to
2 carry the burden of deploying that
3 infrastructure, be it through the governments or
4 through the utilities, wouldn't this -- wouldn't
5 it be more prudent to start investing in the next
6 generation technologies and innovations that
7 would allow the vehicles to be the infrastructure
8 for full scalability and full sustainability of
9 this kind of a platform?

10 MR. CRISOSTOMO: Shiba, could you explain
11 what you're describing where the vehicle is
12 serving as infrastructure?

13 MR. BHOWMIK: Well, so hypothetically
14 speaking, and I'm not trying to advocate or
15 promote any particular technology here,
16 hypothetically speaking, I mean, CEC and the CPUC
17 has taken quite a bit of leadership role with
18 respect to the VGI, vehicle-to-grid integration,
19 in particular with V2G. And once you bring in or
20 once we are able to enable high-power
21 bidirectionality of the electric vehicle that is
22 onboarded with Level 3 charging capabilities and,
23 also, full bidirectionality at that power level,
24 it's a very different infrastructure issue,
25 considering, I mean, what amount of nightmare

1 scenarios that you are going through, through
2 your modeling effort.

3 They would have their individual
4 challenges. But I think the carbon footprint,
5 the decarbonization effort, and also with the
6 reduction of them at content, all of that can be
7 driven very significantly if the new generation
8 technologies and the new level of innovation are
9 probably, as opposed to --

10 MR. CRISOSTOMO: Yeah. Yes. Thanks
11 Shiba. I believe you were attending our V2B
12 workshop last Monday. So, definitely, we
13 definitely appreciate the importance of vehicle-
14 to-grid and bidirectional charging technologies.
15 That will actually be featured pretty prominently
16 during our tomorrow afternoon panel on VGI. So
17 California is definitely committed to moving on a
18 V2G future. And manufacturers are supporting the
19 bulk of the activity, so definitely hear the
20 interest in this potential.

21 And also during tomorrow's workshop --
22 another plug -- Raja will be presenting on some
23 results from our BESTFIT solicitation which
24 highlighted a few projects that include vehicle-
25 to-vehicle charging. So it's not something that

1 we've quantitatively modeled yet. A topic that
2 is really intriguing when you think about the
3 utilization benefits and the low grid impacts
4 possible from shifting this load from
5 instantaneous to arbitrage to time. But no
6 quantitative answers, lots of opportunity.
7 Please tune in tomorrow.

8 MR. RAMESH: Great. From B. Boyce at
9 SMUD, "We are finding that many of the medium-
10 and heavy-duty vehicles can and are planning to
11 use 25 kilowatt charging. School buses and many
12 of the delivery vehicles with short route are
13 looking at even more power ratings. Will you be
14 able to incorporate this diversity in the model
15 going forward?"

16 MR. CRISOSTOMO: Yes. Bill, as the
17 couple of prior questions asked similarly, we are
18 incorporating a multiple choice option. And
19 we'll have the next iteration be solving for
20 different power levels to incorporate. For
21 example, the high-power Level 2, if you will,
22 option for the use cases that it's appropriate.

23 MR. RAMESH: And last question from Jim
24 Frey at 2050 Partners -- by the way, we have two
25 minutes left in the workshop -- "As your HEVI-

1 LOAD resolution improves, will you be able to
2 explore the value of the moderate power mid-shift
3 opportunity charging for longer dwell
4 load/unloading stops at loading docks?"

5 MR. CRISOSTOMO: Bin, I'm wondering if
6 you could talk about the smart charging envelope
7 and how that is going to interplay with the ABM?

8 MR. WANG: Sure. Sure. Good question.
9 Yeah, we are considering these mid-shift
10 opportunities for different vehicle applications.
11 The way we define this problem is to, you know,
12 take a look at the historical travel behaviors of
13 the specific vehicles to, you know, get an idea
14 of when these vehicle will arrive and when this
15 vehicle will have to leave and identify the, you
16 know, stayed duration and the energy demand that
17 we have to deliver before the vehicle leaves.

18 So using these parameters, we can define
19 the, you know, energy boundary. So this boundary
20 will quantify the flexibility of a specific
21 vehicle just to ensure we can deliver as much
22 energy, you know, before the vehicle leaves.

23 In this scenario, you know, when the
24 vehicle is parking or unloading, as a drayage
25 truck or the delivery vehicles, when there's

1 enough flexibility for the -- you know, assuming
2 there's a charging coordinator, assuming there's
3 enough flexibility to, you know, arrange charging
4 for this vehicle, the HEVI-LOAD tool is able to
5 simulate this behavior and accounting the
6 charging load through the aggregated load
7 profile.

8 MR. RAMESH: Thanks Bin.

9 Okay, and we're right at the 4:30 mark.
10 It looks like there's no more raised hands. So,
11 once again, thanks everyone for attending today's
12 workshop. Be sure to come back tomorrow for the
13 second half of the workshop where we'll discuss
14 more on several other topics.

15 Additionally, we'd also like to remind
16 you all to please submit written comments to the
17 19-AB-2127 docket. There's instructions on this
18 slide, which you can also download from the event
19 webpage on the Energy Commission website.

20 Thanks everyone.

21 (Off the record at 4:31 p.m.)

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of March, 2021.



PETER PETTY
CER**D-493
Notary Public

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

March 1, 2021