

DOCKETED

Docket Number:	19-DECARB-01
Project Title:	Decarbonization
TN #:	238449
Document Title:	Transcript May 21, 2021 for Draft Building Decarbonization Assessment - Workshop
Description:	Official transcript of the May 21, 2021 workshop on the draft Building Decarbonization Assessment required by Assembly Bill 3232 (Friedman, Chapter 373, Statutes of 2018) (AB 3232).
Filer:	Heriberto Rosales
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/23/2021 3:21:29 PM
Docketed Date:	6/23/2021

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 19-DECARB-01
Draft Building Decarbonization)
Assessment)
_____)

DRAFT BUILDING DECARBONIZATION ASSESSMENT

REMOTE ACCESS ONLY VIA ZOOM

FRIDAY, MAY 21, 2021

11:00 A.M.

Reported By:
Martha Nelson

CALIFORNIA REPORTING, LLC
229 Napa St., Rodeo, California 94572 (510) 313-0610

APPEARANCES

COMMISSIONERS

Andrew McAllister, CEC
Siva Gunda, CEC
Cliff Rechtschaffen, CPUC

STAFF

Heriberto Rosales, Efficiency Division
Michael Kennedy, Energy Specialist
Matt Coldwell, Energy Policy Analyst
Brian Samuelson, Efficiency Division
Ingrid Neumann, Demand Analysis Office
Angela Tanghetti, Supply Analysis Division

PUBLIC COMMENT

Taylor Robinson, Building Decarbonization Coalition

INDEX

	Page
Opening Remarks by Commissioner McAllister	6
Opening Remarks by Commissioner Gunda	11
Opening Remarks by Commissioner Rechtschaffen	13
Overview of Assembly Bill 3232 (Michael Kenney)	18
Scope of Assessment (Ingrid Neumann)	43
GHG Emission Impacts and Cost Analysis (Ingrid Neumann)	78
Electric Generation System (Angela Tanghetti)	95
Public Comment	128
Adjournment	130
Reporter's Certificate	
Transcriber's Certificate	

1

P R O C E E D I N G S

1
2 MAY 21, 2021

11:03 A.M.

3

4 MR. ROSALES: Good morning, everyone. Welcome
5 to the Commissioner Workshop for the AB 3232 Staff
6 Building Decarbonization Assessment.

7 Hello, my name's Heriberto Rosales, I'm an
8 energy specialist with the California Energy Commission.
9 I'll be facilitating today's workshop.

10 Commissioner and leadership joining us today on
11 the virtual dais are Chair Hochschild who will be
12 joining in a minute, Commissioner McAllister,
13 Commissioner Gunda, all with the California Energy
14 Commission. In addition, we've got Commissioner
15 Rechtschaffen from the Public Utilities Commission
16 joining us today.

17 I'd also like to welcome our partners from the
18 California Air Resources Board and the Public Utilities
19 Commission, their collaboration on this project has been
20 really instrumental. I want to thank them all and
21 recognize them.

22 Okay. A few housekeeping items before we start
23 the first presentation. As a reminder to all attendees
24 and stakeholders, this workshop is being held virtually
25 consistent with Executive Orders N-25-20 and N-29-20 in

1 recommendation of the California Health, Department of
2 Public Health encouraging physical distancing to slow
3 the spread of COVID-19. The public can participate and
4 observe the workshop consistent with the direction of
5 the executive orders.

6 This workshop is being recorded. A full
7 recording and full transcript will be posted on the
8 Decarbonization Docket 19-DECARB-01 and the CEC's
9 Building Decarbonization Assessment webpage.

10 The Building Decarbonization Assessment
11 resources and materials are docketed under the same
12 proceeding number, 19-DCARB-01 and may be accessed on
13 the Building Decarbonization webpage as well.

14 Brian, next slide.

15 This is today's agenda. During the workshop,
16 staff will -- staff will brief you on the draft staff
17 proposal or respond to your questions and encourage
18 everyone to submit written comments by or before Friday,
19 June 4th.

20 This workshop contains three staff
21 presentations. The first one will be an overview of the
22 draft assessment and its components. The second one
23 will be an explanation of the scope of the Building
24 Decarbonization Assessment. And the last presentation
25 will be a dive into the Building Decarbonization to

1 narrow impacts included in this assessment.

2 After each staff presentation we will pause for
3 public questions and comments. We advise -- we will
4 advise when the Q&A sessions are starting and ending
5 that way folks can participate however they'd like.

6 After the presentations and the public comment
7 period, the CEC Commission may provide closing remarks
8 and then we will adjourn the workshop. At the end of
9 each presentation and again at the end of the workshop,
10 we do have a set aside time for some public comments.

11 So thank you for your time and your
12 participation today.

13 Commissioner McAllister, if you're ready, you
14 may start with opening remarks.

15 COMMISSIONER MCALLISTER: Okay. Well, thanks,
16 Heriberto, I appreciate that.

17 Welcome, everyone. I'm really excited about
18 the -- this report of the draft report that's out for AB
19 3232. I really want to just communicate that this is
20 the product of a long effort at the Energy Commission
21 that has taken a few twists and turns as we really sort
22 of appreciated how important it was and then also
23 considered the analysis and made some changes to it
24 along the way and really ended up, I think, with a very
25 robust product. And really interested in what folks

1 have to say about it today.

2 Obviously, buildings are a huge part of the
3 solution that can be, that must be a huge part of the
4 solution for decarbonizing our state, our economy, and
5 our energy systems. And we know that -- that it's a
6 relatively complicated sector compared to, you know, the
7 electric sector is actually decarbonizing relatively
8 rapidly and it's helping us get there. And it's
9 something now we can rely on for decarbonizing energy
10 sectors more broadly.

11 And so that comes across in the report and
12 really looking forward to the staff presentations and
13 the Q&A and the public comment today because I think
14 that's going to be critical to incorporate into the
15 final draft and get it to the legislature here in the
16 next couple of months. So, this is kind of a milestone.

17 I want to just put in a little bit more context.
18 In the IEPR this year, one of the main thematic tracks
19 is also building decarbonization. Now this workshop
20 today is not part of the IEPR but on next week, next
21 Tuesday, we are having, the 25th, we're having the
22 opening workshop on building decarbonization within the
23 IEPR and so really looking forward to that.

24 That will be a broader treatment of the topic
25 and really want to start, I think, talking more

1 concretely and pragmatically about solutions at that
2 time and how programs and how we might be making
3 proposals to really solve, to crack the various nuts
4 that need to be, you know, worked out to really attack
5 this sector.

6 So, we know a lot. We know we have a lot of
7 good technologies to decarbonize the building sector and
8 we need to figure out how to really scale them up as
9 rapidly as possible. So, there are a lot of good minds
10 thinking about this, including here at the Energy
11 Commission, but certainly out there in the world doing
12 great projects. And from, you know, contractors and
13 local governments through to the manufacturers and the
14 builders and everyone else. You know, we really are
15 needing a team effort here, over many years, actually.

16 I want to thank Mr. Rechtschaffen for being here
17 from the PUC. The collaboration on this report and just
18 on so many fronts these days, it's very close between
19 the Energy Commission and the PUC and also on various
20 themes with the Independent System Operator, with ARB,
21 we've got four agencies really are working together
22 well. And that's important because we have some big
23 problems that we need to -- we need to solve.

24 Also, I would like to thank staff, actually.
25 This was a team effort across two divisions at the

1 principally, at the Energy Commission. It's kind of an
2 example of the matrix organization that the Energy
3 Commission is building around some of these analytical
4 topics that really do integrate technologies and
5 conversations that typically sort of fit better into one
6 division that were more autonomous solely on this is the
7 age of integration.

8 And so the Energy Assessments Division, and I'm
9 really glad to have Commissioner Gunda here with us who
10 leads that -- that division, really drove the analytic
11 piece of this. And then the Efficiency Division pulled
12 it together and really, I think, much of the document
13 including the policy context and many of the solutions
14 that we're talking about, they're responsible for those.

15 So, I just want to acknowledge Michael Kenney
16 and Nick Janusch for leading sort of in those two
17 divisions, respectively, Efficiency and Assessment and
18 Ingrid Neumann, Mike Jaske. Heriberto, thank you too,
19 he was a project manager for this, sort of pulling a lot
20 of threads together. Jen Nelson, who leads our Existing
21 Buildings office. Matt Coldwell, who leads our Demand
22 Analysis office. They really were the two office
23 managers that helped marshal all the resources and get
24 this done. And then the two Division Deputy Directors,
25 Mike Sokol of the Efficiency Division, and Aleecia

1 Gutierrez in the Assessments Division.

2 The analysis I think is very robust. I -- we --
3 you'll hear how -- sort of how it ended up. But I think
4 it's, you know, taking two different perspectives from
5 what decarbonization actually means was a good approach.
6 And so on the one hand we have paths, depending on how
7 you define it, this problem looks pretty different. And
8 so, we know that there's a steep curve to decarbonize,
9 invest in technologies, to shift marketplace, to heat
10 pumps, and this report lays that out I think pretty
11 starkly. So, a number of policy initiatives I think can
12 help work -- and work together to make that happen.

13 So rather than get to the punchline, I want to
14 let staff do that. But I think this is just to say that
15 this has been a big team effort and I think we all know
16 that building decarbonization is central to our climate
17 response.

18 The last thing I'll say is that it's not just
19 about the putting in of electric technologies or the
20 efficiency piece of this, it's also about the load
21 flexibility. So buildings not only need to decarbonize,
22 they need to be good citizens on the grid. And that
23 goes well together. Those two things go well together.
24 They really are still at the top of the loading order in
25 California and so we shouldn't forget that.

1 There's a lot of untapped potential for load
2 flexibility and there's more and more effort going into
3 that. So very happy about that. And, you know, the end
4 of the day, we need to end up with an affordable
5 decarbonized and reliable energy system or group of
6 systems in the state.

7 So, with that in mind, let's think about
8 buildings. And I'll pass the microphone to Commissioner
9 Gunda and then Commissioner Rechtschaffen.

10 Thanks everybody for being here.

11 COMMISSIONER GUNDA: Thank you, Commissioner
12 McAllister.

13 I'm so glad to be here as well. I think this is
14 an incredibly important topic and thank you for your
15 opening remarks. And I can't agree with him more.

16 I also want to start by thanking the staff on
17 their incredibly hard work and kind of trying to weave a
18 number of different pieces together, the public comments
19 together as they stitched the analyst for the report.
20 So, I'm very grateful for their openness and
21 thoroughness on this issue. As you pointed out, it's
22 been a pretty long effort and I appreciate the
23 persistence in making sure we completed this effort.

24 I also wanted to take a moment to thank you,
25 Commissioner McAllister, for your leadership and

1 guidance in this process, especially given in
2 decarbonization. You know, I think you have been a
3 leader over the last decade in thinking through, you
4 know, how we decarbonizing the buildings. Whether we
5 called it efficiency, whether we called it load
6 management, whether we called it something else, I think
7 your thorough leadership and your steady hand has been
8 vital for the state of California and more broadly the
9 country. So just thankful for your leadership and
10 guidance throughout this process.

11 You know, I just want to reiterate a couple of
12 points I think we all know but I think it's good to set
13 up the context here. You know, as Governor Newsom
14 mentions many number of times, we are in a climate
15 emergency and kind of in a meeting of challenge of
16 climate change. And, you know, going through this
17 process of decarbonization in an equitable fashion over
18 the next couple of decades is not going to be easy, it's
19 going to need a lot of partnerships, a lot of open and
20 trusting conversations, and without us as being able to
21 construct analyses that become the underpinning of
22 policy decisions that is robust, transparent, and
23 diverse.

24 It's hard to do that meaningfully so I really
25 appreciate this process and the venue and way and we

1 have members of stakeholders joining to provide their
2 diverse opinion in that spirit. I just want to thank
3 the 194 participants I'm seeing on the call here today
4 for being -- taking the time to really be a part of this
5 conversation and providing us useful and sometimes
6 critical feedback to enhance our analysis to really help
7 address the climate change and specifically in this
8 topic of building decarbonization in a meaningful
9 matter.

10 So, I know there's plenty to do. And I know
11 Commissioner McAllister is going to work on the building
12 decarb as a core trajectory this year in the IEPR
13 process. I'm very much looking forward to the work.

14 Thank you everybody for take -- for putting this
15 workshop together and everybody in attendance.

16 COMMISSIONER MCALLISTER: Okay. Commissioner
17 Rechtschaffen, did you want to say a few opening
18 comments?

19 COMMISSIONER RECHTSCHAFFEN: Yes, I did. Thank
20 you very much --

21 COMMISSIONER MCALLISTER: Great.

22 COMMISSIONER RECHTSCHAFFEN: -- Commissioner
23 McAllister.

24 And it's a pleasure to share this stage with you
25 and Commissioner Gunda, our colleagues at CARB, and

1 Chair Hochschild if he -- if he comes, when he comes.
2 And I very much appreciate what you said and share the
3 spirit of unprecedented collaboration among the
4 agencies.

5 You've been a longstanding leader, Commission
6 McAllister in all these areas, you continue to do so
7 along with your colleagues and it's a pleasure to work
8 with you as we sort through these difficult issues. As
9 you said, the path forward is not straightforward but
10 it's complex and challenging and exciting and important.

11 Decarbonization in the building sector presents
12 crosscutting issues where our work at the PUC will be
13 informed by AB 3232 and other analyses you're conducting
14 at the Energy Commission.

15 Just wanted to take a couple of minutes for
16 those of you who may not be familiar with it to talk
17 about the PUC's work in this area to give some context.
18 So, a big point of what we've been doing is to develop
19 incentive programs for building electrification. And
20 collectively through various programs we've earmarked,
21 bid out to close a half billion, half a billion dollars,
22 four hundred forty, forty or fifty million dollars
23 between now and 2024 for various initiatives.

24 We, of course, have been working with the Energy
25 Commission to implement the BUILD program for all new --

1 for new all electric low-income residential buildings
2 and we have another pilot known as TECH that will try to
3 jump start the market for heat pump technology through
4 market transformation strategies.

5 So that's one piece of what we're doing. We
6 have a dedicated proceeding to address building
7 decarbonation -- decarbonization challenges and my
8 office has been working very closely with Commissioner
9 McAllister's office on this initiative. We hope and
10 intend to achieve in that proceeding a policy framework
11 for building decarbonization to give us some structure
12 and framework for what we're doing more broadly beyond
13 the immediate incentive programs and other specific
14 issues.

15 Of course, building decarbonization and
16 transitioning away from our reliance on gas are part of
17 the same set of transitional issues that we as a state
18 will face as we move toward our decarbonization goals.
19 All of the agencies, all four of the ones that
20 Commissioner McAllister mentioned recognized the need
21 for a plan to phase gas transition and we're working on
22 how we best do that, how we think about long-term
23 strategy while in the meantime ensuring reliability and
24 safety. So, you know, that's part of the effort and I'm
25 the lead on gas -- a proceeding at PUC that looks at gas

1 transition issues.

2 Finally, the last thing I want to highlight is
3 that building electrification is a very serious equity
4 challenge. Low-income households may not be able to
5 afford the upfront cost of electrification. They may be
6 more heavily challenged as electricity bills rise, as we
7 electrify other uses, including (more EVs. We recently
8 released an affordability report that looks at the
9 bundle of utility services that consumers face from
10 broadband, water, electricity, and gas. And a
11 significant portion of the state, over 10 percent where
12 low-income households spend one-third or more of their
13 disposable income on utility bills. That's an
14 extraordinary amount. Obviously poses serious
15 challenges for us as we push forward on electrification.

16 We know also workers in the gas industry will be
17 impacted by the gas transition of building
18 decarbonization. So, it's very important that we
19 consider these real world and equity impacts. Very big
20 topic.

21 One step we are taking at the CPUC, we've opened
22 a clean energy financing proceeding where we're looking
23 at developing financing tools such as on-bill repayment
24 and on-bill tariffs. Other sustainable funding sources,
25 which segments to target so that we make this transition

1 more affordable for low- and moderate-income consumers.

2 Again, thank you for having me. Thank you for
3 hosting this. I very much look forward to hearing the
4 staff presentations and the discussion today.

5 COMMISSIONER MCALLISTER: Thank you very much,
6 Commissioner Rechtschaffen. And I can't agree enough
7 with your comments about equity and also those of
8 Commissioner Gunda.

9 I think any solution that really is going to be
10 serious has to in many ways begin with low-income
11 consumers and really focus on disadvantaged communities.
12 And really, you know, segmented in a way that it does
13 help move the market at the same time that it attacks
14 the pieces of it that are in most need.

15 And so I think we can do both and it's going to
16 take a broad conversation including what the legislature
17 and the administration to try to figure out how to
18 prioritize that approach because I think there is an
19 emerging consensus that we really do have to start
20 there. So thanks for those comments.

21 And I'll pass it back to Heriberto. I believe
22 we're going to start with staff presentation from
23 Michael Kenney.

24 MR. ROSALES: Thank you, Commissioner. Thank
25 you all for your remarks.

1 Michael, if you are ready, you can start.

2 MR. KENNEY: Okay. Thank you all. And good
3 morning. I am Michael Kenney, an energy specialist in
4 the Efficiency Division for the Energy Commission. And
5 today I'm presenting an overview of the Assembly Bill
6 3232, Draft Building Decarbonization Assessment.

7 The work presented today represents about two
8 years of staff effort and is an important first step in
9 understanding the state's potential to meet building
10 decarbonization goals by 2030 and beyond.

11 So, Assembly Bill 3232 tasked the Energy
12 Commission with assessing potential to reduce greenhouse
13 gas emissions from residential and commercial building
14 stock by at least 40 percent below 1990 levels for
15 January 1st, of 2030.

16 The Bill also requires the assessment to
17 consider a few other elements. Evaluation of the cost
18 per metric ton by producing a carbon dioxide equivalent
19 from residential and commercial building stock relative
20 to other statewide greenhouse gas emission reduction
21 strategies.

22 The cost-effectiveness of strategies to reduce
23 greenhouse gas emissions from space heating and water
24 heating in both new and sustained residential and
25 commercial buildings. The challenges associated with

1 reducing greenhouse gas emissions from low-income
2 housing, multifamily housing, and high-rise buildings,
3 load management strategies to optimize building energies
4 in a matter that reduces greenhouse gas emissions, and
5 the potential impacts of emission reduction strategies
6 on ratepayers, construction costs, and greater
7 liability.

8 Assessing the impacts on greater liability, the
9 Commission also needed to account for both the 2019
10 building energy efficiency standards requirements of
11 solar energy systems on all new single family and low-
12 rise residential dwellings to increase load and impact
13 on electrical infrastructure due to transportation
14 electrification.

15 So, throughout the presentations today after
16 mine, you'll hear from staff about how these elements
17 were included in the assessment and how some will need
18 to be addressed in upcoming Integrated Energy Policy
19 Reports.

20 So, California has around 13.7 million
21 residential units and well over 7,300 million square
22 feet of commercial space. By 2030, there will be
23 hundreds of thousands of new homes and millions of new
24 commercial square footage.

25 This report highlights the importance of

1 buildings to advancing state's greenhouse gas reduction
2 and mitigation policies. As currently, about 25 percent
3 of all greenhouse gas emissions can be attributed to
4 buildings. (Indiscernible) emissions from off-site
5 electricity generation, on site field combustion,
6 refrigerant leakage, and behind-the-meter gas leaks. In
7 focusing only on the on-site or direct emissions for
8 buildings, their contribution is around 10 percent. So
9 buildings make up a significant portion of emissions in
10 this state yet there is currently no coordinated plan to
11 decarbonize or targets for reducing greenhouse gas
12 emissions.

13 Because buildings are responsible for 25 percent
14 of all emissions from a system-wide approach and
15 responsible for 10 percent of all emissions from a
16 direct emissions approach, the Energy Commission
17 assessed the 1990 baseline using both approaches. The
18 1990 system-wide baseline is equal to 124.1 million
19 metric tons of carbon dioxide equivalent. This dropped
20 to 79.9 million metric tons of carbon dioxide equivalent
21 as of 2018.

22 The 2030 target under this approach in the
23 74.4 million metric tons of carbon dioxide equivalent
24 leaving 5½ million metric tons of carbon dioxide
25 equivalent to reduce by 2030. And this information is

1 shown at the table at the bottom of the slide on the
2 first row.

3 The 1990 direct emissions baseline is equal to
4 54.4 million metric tons of carbon dioxide equivalent.
5 And as of 2018, the direct emissions were slightly
6 higher at 54.7 million metric tons of carbon dioxide
7 equivalent. The 2030 target under this approach is
8 32.6 million metric tons of carbon dioxide equivalent
9 which leaves 22.1 volume metric tons of carbon dioxide
10 equivalent to reduce.

11 To assess the greenhouse gas reduction
12 potentially buildings, staff identified seven major
13 strategies through which the reductions can occur.
14 These strategies include building electrification,
15 electricity generation, decarbonization, energy
16 efficiency from electricity, gas, and envelope
17 efficiency. An important role also played by codes and
18 standards for homes and appliances. Refrigerant
19 conversion and leakage reduction, distributed energy
20 resources which at this time are primarily through
21 rooftop solar and battery storage. Decarbonizing the
22 gas system using renewable gases in place of fossil
23 gases and demand flexibility which at this time
24 primarily assessing as load shifting. So, using these
25 strategies, staff assessed several greenhouse gas

1 reduction scenarios which will be presented in more
2 detail later today.

3 So, to ensure to require greenhouse gas
4 reductions from buildings, the state will have to
5 address a wide array of challenging variables. So,
6 staff researched and qualitatively assessed how these
7 variables impact building decarbonization efforts. The
8 issues at hand can be broadly grouped into two
9 categories: Customer and consumer impacts, and building
10 and technology impacts.

11 So, customer and consumer impacts are those that
12 inhibit participation and decarbonization efforts at the
13 individual level. This includes the availability of
14 project financing, how programs are designed, scheduling
15 retrofits in multifamily and commercial spaces, the cost
16 of retrofitting existing buildings, consumer awareness
17 and preferences, especially related to electric
18 technology, the possibility of utility bill increases,
19 and existing programmatic and regulatory restrictions to
20 decarbonization, the ongoing training of a clean energy
21 workforce, and the dueling interest of tenants and
22 owners in buildings.

23 Building and technology impacts are physical or
24 technical limitations that prevent decarbonization
25 progress. Variables that need to be considered include

1 the age of the building, which may dictate the amount of
2 work required to decarbonize. The current new
3 construction practices that may prevent quick
4 implementation of decarbonized buildings. The
5 availability and cost of global warming potential or
6 refrigerants and heat pumps. The available and cost of
7 renewable gas in the building sector. The scale on
8 which electric panel upgrades are required in existing
9 buildings. And the availability of fast reliable
10 broadband internet, especially in rural and low-income
11 communities.

12 So moving on to some results from the
13 assessment. We're looking at the results of the various
14 scenarios. So starting on the left, we see incremental
15 gas energy efficiencies followed by four different
16 electrification scenarios, a renewable gas scenario,
17 incremental electrical energy efficiency, incremental
18 rooftop PV, and accelerated renewable electric
19 resources.

20 You also see two horizontal lines across this
21 figure. The red line represents a system-wide baseline
22 goal. Remember that includes electricity generation
23 emissions, on site fuel combustion, refrigerant leakage,
24 and behind-the-meter methane leakage. This means if we
25 were measuring success relative to the system-wide

1 baseline, then a successful scenario must avoid
2 5½ million metric tons of carbon dioxide equivalent by
3 2030. We see that each scenario achieves this goal
4 assuming the success of HFC leak reduction efforts
5 mandated by Senate Bill 1383 which also falls along the
6 same 2030 timeline.

7 So, the patterned region on top of each bar and
8 that kind of hashed lines presents the success of Senate
9 Bill 1383 which is equivalent to 7½ million metric tons
10 of carbon dioxide equivalent by 2030.

11 The horizontal black dash line which is equal to
12 22.1 million metric tons of carbon dioxide equivalent is
13 the goal that must be achieved if scenarios are measured
14 relative to a direct emissions baseline.

15 We can see that only the aggressive and
16 efficient aggressive electrification scenarios with
17 assistance from HFC reduction achieve that 40 percent
18 reduction.

19 Moving on now to some cost results. The figure
20 shows the total net cost and the cost per metric ton of
21 each scenario on the X-axis. We see the same scenarios
22 as described on the previous slide. On the Y-axis, we
23 have the total net cost and the cost per metric ton.
24 So, energy efficiency and rooftop PV scenarios show
25 negative total net cost whereas electrification

1 scenarios and renewable gas scenario show positive total
2 net cost. The cost per metric ton is also negative for
3 the energy efficiency and rooftop PV scenarios while
4 there is a positive cost for metric ton for
5 electrification and renewable gas scenarios.

6 These results support what we already know that
7 energy efficiency is cost-effective. And the total net
8 cost for rooftop PV reflect the current energy metering
9 structure.

10 Electrification scenarios have costs ranging
11 from \$39 per metric ton up to \$142 per metric ton. The
12 most expensive scenario that we estimated was the
13 renewable pipeline gas, 20 percent of that gas being
14 renewable by 2030 at \$343 per metric ton. Cost for
15 metric ton and total net cost of accelerated adoption of
16 renewable energy were not calculated in this assessment.

17 So, moving on, I'm going to walk you through the
18 conclusions that were drawn based on the qualitative and
19 quantitative portions of the assessment. More details
20 can be provided during the Q&A session following this
21 and you'll hear more details as well in the
22 presentations to follow.

23 So first and foremost, based on this analysis,
24 California is on track to achieve a near 40 percent
25 emission reduction in residential and commercial

1 buildings by 2030 when looking at a system-wide
2 baseline. Aiming for a higher greenhouse gas reduction
3 target for 2030, we would put California buildings on a
4 more aggressive path to reaching 2045 climate goals.

5 We'll also note that newly constructed buildings
6 have the lowest decarbonization costs and that the
7 energy code will continue to advance efficiency in those
8 newly constructed buildings. However, reducing
9 greenhouse gas emissions in existing buildings will
10 require coordinated efforts and large investments.

11 When planning these investments, equity
12 considerations are paramount. Regulators, program
13 implementers, local governments would need to
14 collaborate with utilities, tribal governments, building
15 owners, workforce training organizations, and community
16 groups.

17 Decarbonization initiatives must also directly
18 involve environmental justice communities and reflect
19 their needs and priorities. Continuing the conclusions
20 of assessment as -- found that efficiency efforts
21 provide emission reductions most cost-effectively.

22 Efficient electrification defined as replacing
23 all electric appliances with the most efficient
24 technologies available can achieve the greenhouse gas
25 reductions in buildings. Additionally, staff found that

1 an information campaign to familiarize consumers with
2 electric appliances as the use of electric and uses grow
3 is needed and a loss of important to understand and
4 document any reliability impacts due to increased
5 electrification.

6 Staff also conclude the success of an existing
7 refrigerant leakage reduction policy is essential to
8 achieving building decarbonization. The assessment
9 concludes that the role of the gas system in
10 decarbonizing buildings needs further research and the
11 role incentives play in adding new gas infrastructure
12 for buildings must be reviewed.

13 California must continue to expand and train
14 this clean energy workforce. This ongoing effort in the
15 state discussed in this report and in the joint agency
16 Senate Bill 104 both make it clear that meeting the
17 state's 2045 climate goals depend upon the state having
18 a strong clean energy workforce. Building
19 decarbonization efforts should also work in harmony with
20 the state's response to the ongoing housing crisis.

21 So, following the workshop here today after all
22 comments are received, Energy Commission staff will
23 begin addressing comments and making edits to the draft
24 assessment. The deadline for comments is June 4th, two
25 weeks from today. Once comments are received and

1 updates are complete, the final version will be
2 published and will be presented at an Energy Commission
3 business meeting for consideration of adoption. If
4 adopted, the assessment will be delivered to the
5 legislature likely sometime during December 2021. The
6 CEC will continue to update and expand parts of the
7 assessment in the 2021 IEPR.

8 So, with that, I will take any questions that
9 have come up. Thank you.

10 MR. ROSALES: Thank you, Michael.

11 Brian, can you go to Slide 3 before we start the
12 Q&A?

13 And Michael, while we wait, there's a question
14 in the chat box regarding Slide 10, if you could take a
15 look at that.

16 MR. KENNEY: Okay.

17 MR. ROSALES: Great. Let me -- let me walk the
18 public through the Q&A session before we start getting
19 questions.

20 So as a reminder, the public -- this workshop is
21 being recorded. There is a court reporter present
22 recording the workshop and will produce a transcript at
23 the end. Recordings will be posted to the docket and
24 all statements communicated today will become part of
25 the public record. All attendees will be muted during

1 the presentations.

2 So reading comments, we encourage attendees to
3 use and type them into the Zoom Q&A before or during
4 each Q&A session. So, you can start doing that now.
5 Our team will review your questions and respond to them
6 in real time where appropriate or (indiscernible) during
7 the Q&A sessions.

8 For live verbal questions or comments online,
9 use the raise hand feature during any of the Q&A
10 sessions and we will open your line so you can speak.
11 And then just remind everyone if you could provide your
12 name and organization before you start your live
13 comments.

14 If you are calling by phone today, please also
15 use -- make sure you push star 9 and the host will open
16 your line to speak. And then push star 6 to mute and
17 unmute yourself.

18 And just so you know, we will take questions
19 from folks online first and then we'll move it to
20 auditory. So, anyone on the phone, we'll take those
21 questions after that.

22 So, our team will review questions and respond
23 to them in real time. Once we have completed all the
24 written questions, we will open the phone lines for oral
25 questions. So I invite anyone who has questions, please

1 raise your hand and we will unmute your phone.

2 Okay. We have a few questions here. Thank you
3 for submitting your questions. So let me start with --
4 Michael, if you're ready, I'll read out the first
5 question to you. And excuse me if I mispronounce their
6 names.

7 From Calum Chong (phonetic). Slide 10, does the
8 first bullet only refer to system-wide scenario or both
9 system-wide and direct emission scenarios?

10 MR. KENNEY: So that our first -- the first
11 bullet on Slide 10, if -- so the on track for nearly 40
12 percent reduction by 2030 --

13 COMMISSIONER MCALLISTER: Could you pull up
14 that -- could you pull up that slide, please? Just so
15 people know what's being asked.

16 MR. KENNEY: So the on track for nearly
17 40 percent reduction by 2030, that refers to a system-
18 wide based on approach for call on the prior slide. So,
19 the red line which is the system-wide approach, nearly
20 all of our scenarios get there due to the fact that
21 California is very close to reaching that level by 2030.
22 The direct emission is a much loftier target by 2030.

23 MR. ROSALES: Thank you, Michael.

24 I'll go to the second question now. It's from
25 an anonymous attendee. Again, I encourage everyone to

1 type their name and also state organization if they can,
2 it's very helpful for the record.

3 But the question is: Will the CEC produce a
4 building decarbonization forecast?

5 Do Commissioner McAllister or Commissioner Gunda
6 care to touch on this?

7 COMMISSIONER GUNDA: Yeah. Thank you. I think
8 the answer is yes in the sense that we are developing
9 fuel substitution forecast which is also called
10 (indiscernible) fuel substitution cases. So those are
11 the cases we are going to work on this year, continue to
12 better the methodologies. Along with that, we're also
13 thinking through how best to gather up scenarios beyond
14 the forecast. So, the answer is yes.

15 COMMISSIONER MCALLISTER: Yeah, not much to add
16 but we already have done energy efficiency, behind-the-
17 meter efficiency forecasts, additional achievable
18 efficiency, and then for the first time, the forecast
19 will include fuel substitution forecast. We already did
20 also behind-the-meter solar forecast all of which, you
21 know, all of those take the gross demand and basically
22 subtract off of them to get net demand. And then, yes,
23 so translating all of this over to carbon is definitely
24 part of the MO at this point and moving forward.

25 And we're also doing a 15-year forecast instead

1 of just the normal 10-year forecast to get us out to
2 2035 which, you know, is also where some of the other
3 goals of this state fit, you know, where they land even
4 though this one is by 2030.

5 MR. ROSALES: Commissioner McAllister, thank
6 you. Commissioner Gunda, thank you.

7 Going on to the third question here. Do the
8 system-wide emission include gas leakages associated
9 with delivering gas to buildings? If not, why?

10 Michael, do you -- can you touch on this one?

11 MR. KENNEY: Yeah, I can -- I can briefly and if
12 others on the panel wants to jump in as well.

13 So, it does not include gas leakage those
14 considered upstream of the buildings. And it's not
15 included in the system-wide or direct emissions
16 baseline. And there was none included partially due to
17 some boundary conditions we're drawing and the
18 uncertainty around what would be the impact on the
19 actual, you know, amount of gas leaked in the broader
20 system just due to buildings. So yeah, it's something
21 that we will continue to explore but was not included in
22 this.

23 MR. ROSALES: Thank you, Michael.

24 So again, we've got some questions coming in.
25 Again, I encourage anyone who wants to provide a live

1 question to just raise your hand and we will take the
2 question live.

3 I will -- I'll continue to the next question
4 here. This is from another anonymous attendee in terms
5 of the name. Can someone provide a source for the
6 statistic that one-third of household income for low-
7 income customers use for the utility bills. I'm not
8 sure I heard that correctly.

9 COMMISSIONER RECHTSCHAFFEN: I can put something
10 in the chat. What I was referring to is a report that
11 the PUC recently issued on affordability of utility
12 services using new affordability metrics that we
13 developed and it shows the variation and affordability
14 among regions in the state and among different income
15 classes. And as I said, about 11 percent of
16 Californians pay bills. That for them, the utility
17 services combined represent one-third or more of their
18 disposable household income.

19 I'll put a link in the chat room or the Q&A
20 room, whichever is easiest so that you can follow up on
21 that.

22 We also have an affordability page on the PUC's
23 website that you can follow up on but I'll make sure to
24 post that.

25 MR. ROSALES: Thank you, Commissioner, I

1 appreciate that. Thank you for answering that question.

2 I'll go to the next question here, we're getting
3 few coming in now. And thank you for staff on answering
4 those. So, we'll move over -- in the Q&A, we're moving
5 answered questions over to the answered column.

6 So, there's a few more open questions. The next
7 one is from Calum Chong. System-wide scenarios show
8 that California's close to AB 3232 target minimal
9 electrification efforts. Does direct emission scenario
10 ask for aggressive electrification which costs a lot
11 more. Does CEC have a position of which baseline
12 scenario should be used to address 3232 targets?

13 Michael, you're on the line if you wanted to
14 provide a -- address this one real quick?

15 COMMISSIONER MCALLISTER: Actually, I'll step in
16 and address this one. This is Commissioner McAllister.

17 So, the legislation asked -- the legislature
18 asked the Commission to tell them what a trajectory
19 would look like to get 40 percent below. The
20 legislation actually basically mentions both of these
21 possible baselines and so that's why we took this
22 approach. And the -- it's really, the report back to
23 the legislature will lay all this out for them. And
24 then we will likely have a dialogue but the legislature
25 will see if they want to direct a slate of programs,

1 investments, and that sort of thing working together
2 with the governor's administration to, you know, adopt
3 one of these scenarios or just target, you know,
4 programs that this report lays out or some hybrid of
5 them.

6 So I think this really is an informational
7 report to the legislature asked by AB 3232 or requested
8 by AB 3232 and the policy decision, actually, based on
9 the information we're giving the legislature will be
10 theirs.

11 MR. ROSALES: Thank you, Commissioner
12 McAllister.

13 I want to remind some of the --

14 COMMISSIONER MCALLISTER: One other --

15 MR. ROSALES: -- some of the (indiscernible) --
16 go ahead.

17 COMMISSIONER MCALLISTER: One other -- actually,
18 the, so, you know, Commissioner Rechtschaffen is on with
19 us now and the PUC has, you know, a number of
20 initiatives that intercept with this analysis. And, the
21 Air Resources Board does as well. And so, they are
22 beginning a process of their scoping plan. And so, this
23 information we're already in dialogue with them of how
24 this analysis can be helpful with them for including
25 these scenarios and potentially others in the scoping

1 plan.

2 So the technical underpinning that's been
3 created for this report is intended and I think will be
4 useful for a variety of policy development activities
5 both here at the Commission and at the other agencies,
6 you know, meant to inform the actual policymakers which
7 are the governor and the legislature.

8 MR. ROSALES: Thank you. Thank you,
9 Commissioner McAllister.

10 Matt, do you -- Matt Coldwell, are you still on
11 the line? Feel free to answer a question live if you'd
12 like.

13 MR. COLDWELL: I don't think I have any
14 responses to any of the existing questions. Anyone --
15 one thing I'll just note is some of the questions that
16 are coming in will be addressed in the afternoon
17 presentation that Ingrid Neumann will be given. So stay
18 tuned I think for some of that additional information.

19 COMMISSIONER MCALLISTER: I wanted to just chime
20 in and just thank staff that is answering questions in
21 real time and just encourage more of that. I think
22 there's a -- there really is a lot to talk about with
23 decarbonization. And, you know, folks are at different
24 levels of learning about what the possibilities are for
25 it. And I think this is a great opportunity for us to

1 have some dialogue between staff and stakeholders and
2 certainly encourage that.

3 So thanks, staff, for working through the
4 questions in real time with people and having that back
5 and forth.

6 MR. ROSALES: Thank you. Matt, I'm going to
7 read out some more questions. And some of these I -- if
8 we feel they're going to be answered in the outgoing
9 presentations, I'll just read it out and then I'll note
10 that.

11 So, the next question is from Tom Payne.
12 Electrifying existing homes generally will require
13 electrical upgrades at significant costs. We know that
14 most HVAC change up go unpermitted. Is there any plan
15 of support or avoid these added up costs in order to
16 encourage, presumably encourage buying higher efficiency
17 equipment?

18 Michael, do you want to address this real quick?

19 MR. KENNEY: Yes. So, I think yes, we recognize
20 that there's a lot of unpermitted installations that go
21 on. And I think the Energy Commission and others
22 already have ongoing efforts to try to address those
23 problems and to work with stakeholders to make sure that
24 there is a, you know, an incentive to the pulling
25 permits for things like HVAC systems.

1 So there's nothing specific in this report that
2 ties to it but many of the goals we're talking about
3 here and establishing, you know, a robust clean energy
4 workforce (indiscernible), you know, be most effective
5 if people are going through the permitting process.

6 COMMISSIONER MCALLISTER: I'm going to jump in
7 here as well. Thanks, Michael. So there are really two
8 questions there, one is about the panel upgrades. And I
9 believe those costs are included in the electrification
10 scenarios, if I'm not mistaken. But staff can confirm
11 that.

12 And so, yes, that is a significant cost. I know
13 that there are stakeholder groups like the Building
14 Decarbonization Coalition and others, too, are looking
15 at how to, and we're funding some research at the Energy
16 Commission looking at how possibly existing 120-volt
17 circuits can be used for some of these retrofit devices
18 in existing homes and to avoid some of this panel
19 upgrade needs. But that's an ongoing question. You
20 know, there isn't a great solution to it. It does cost
21 money to do that.

22 On the HVAC, we actually are incorporating the
23 work that has partially done to produce the report under
24 AB 1414 and -- or SB 1414, rather. That is about how to
25 better the permitting situation with respect to HVAC

1 systems. So, we will have a conversation during this
2 track of the IEPR later -- later on in the summer that
3 includes that same.

4 So, yeah, we've -- over the years we've had a
5 lot of conversation about how to improve permitting of
6 HVAC changeouts and, you know, there isn't an easy
7 solution to that. You know, the building departments
8 need help. And, you know, there are a lot of chefs in
9 that kitchen.

10 And so, you know, we need to figure out how to
11 align the incentives for that to take place. Much, much
12 greater scale. But the question's a good one.

13 Thank you.

14 MR. ROSALES: Thank you, Commissioner
15 McAllister. And I think you're right, the cost for that
16 are imbedded into the electrification scenario.

17 I'm going to go one more question and then I'm
18 going to pause and give it back to the dais.

19 Commissioner Rechtschaffen, if you're still on
20 the line. It looks like you wanted to take the next
21 question.

22 The next question is from Evelyn Loya. She's
23 asking: Does the heat pump, does heat pump technology
24 program include gas heat pumps?

25 So if you would like to take that one live --

1 COMMISSIONER RECHTSCHAFFEN: No.

2 MR. ROSALES: -- feel free.

3 COMMISSIONER RECHTSCHAFFEN: If you're referring
4 to the incentives that we have for decarbonization that
5 I'd mentioned, no, it does not include the gas heat
6 pumps.

7 I'm not trying to make a broad definition of
8 what's a heat pump or not and step into territory that
9 I'm not qualified to answer for. But in terms of our
10 incentive programs, no.

11 MR. ROSALES: And then let me key the next one
12 up for you, Commissioner Rechtschaffen, if you you'd
13 like to take this one. It's from an anonymous attendee.

14 What considerations are currently in place or
15 planned to address the increase electrical load of this
16 initiative with the existing aging electrical
17 infrastructure and the inefficiencies of electrical
18 distribution?

19 So, if you'd like to take that one, feel free to
20 do so.

21 COMMISSIONER RECHTSCHAFFEN: That's a subject --
22 that could be the subject of a whole other couple of
23 workshops or proceedings, so I don't have a specific or
24 probably helpful answer -- satisfactory answer. It is
25 something that we clearly know we have to think about as

1 we move to broader levels of electrification. It's --
2 will I have an increased load, we'll have increased
3 loads in certain segments. You have to make sure the
4 distribution system is upgraded and continues to be safe
5 and reliable.

6 MR. ROSALES: Thank you, Commissioner.

7 So, I'm going to do just a quick time check. We
8 are almost at noon and a lot of questions are coming in.
9 The staff will address a lot of questions in the Q&A
10 box.

11 I'm going to ask the Commissioners if there's
12 any questions they have after the last presentation or
13 any comments they would like based on the last
14 presentation before we move forward with the agenda.

15 Commissioner McAllister.

16 COMMISSIONER MCALLISTER: Yes. Commissioner
17 McAllister. I don't have any questions, I'm pretty
18 intimately familiar with the report. But I did want to
19 just to layer in another answer to the -- to
20 Commissioner Rechtschaffen's points just now.

21 So we do have -- I don't think it's been
22 mentioned yet, but we do have a number of initiatives
23 around load flexibility and that's one way that we
24 mitigate the impacts on distribution grids and above
25 for -- of all this electrification. So, you know, we

1 have to include transportation in that and also little
2 things.

3 And so having load flex capability natively and
4 as much of this equipment as possible will enable it to
5 function in a way and, you know, obviously customers
6 have to opt in, you know, there's a whole system that
7 partially exists but really needs to be built out for
8 harnessing that load flexibility. And so that is a
9 challenge but we have time and, you know, this
10 electrification will come online sort of, you know, year
11 after year. So, I think there's certainly a plan and
12 discussion about, you know, how to approach that with
13 all the different tools we have in our toolboxes across
14 the agencies.

15 MR. ROSALES: Thank you, Commissioner.

16 Commissioner Gunda, would you like to make any
17 remarks?

18 Commissioner Rechtschaffen, have you got any
19 questions or comments before we move on with the agenda?

20 COMMISSIONER RECHTSCHAFFEN: No thank you, no
21 comments or questions from me at this point.

22 MR. ROSALES: Thank you. We -- what we're going
23 to do since a lot of questions -- a lot of questions are
24 kind of general questions and some of the questions,
25 some of the more specific questions will be answered

1 from the upcoming presentations by the EAD staff.

2 I'm going to pause now on the public Q&A. We
3 will answer most of the questions in the Q&A box.

4 But Ingrid, if you're on the line, if you could
5 queue up your presentation so you can get prepared. And
6 then we'll continue with the -- Ingrid.

7 So, we'll move on with the second staff
8 presentation, Defining the Scope of Assessing Building
9 Decarbonization. Ingrid, you're on.

10 COMMISSIONER MCALLISTER: Ingrid, you might be
11 muted.

12 MS. NEUMANN: Yes. Yes, indeed I was. All
13 right here I am.

14 So thank you for the opportunity to present
15 today. I am -- sorry, I'm having -- do you see my
16 presentation correctly?

17 MR. SAMUELSON: Yes, we do.

18 MS. NEUMANN: Okay. Cool. All right. So thank
19 you for the opportunity to present on our work today in
20 support of the AB 3232 California Building
21 Decarbonization Assessment.

22 I'm Ingrid Neumann and I'm presenting today both
23 on my behalf as well as on my colleague Nicholas
24 Janusch's behalf who regrettably cannot be here today.

25 Nick and I are both from the Demand Analysis

1 Office in the Energy Assessments Division. Angela
2 Tanghetti is from our Supply Analysis Office in the same
3 division and will be presenting after our late lunch
4 break.

5 I would like to begin by summarizing the scope
6 of the assessment as outlined by the legislation. So,
7 the legislation asks us to assess the potential for the
8 state to reduce the emissions of greenhouse gases in the
9 state's residential and commercial building stock by at
10 least 40 percent below 1990 levels by January 1st of
11 2030.

12 The AB 3232 analysis is informational and
13 explores one or more scenarios within numerous possible
14 decarbonization strategies. Our team's goal was to
15 investigate which scenarios could meet or exceed the
16 40 percent GHG reduction goal.

17 All right. So, we needed to define the scope
18 and there were three steps there before we could start
19 our assessment. The first step would be to define what
20 the 2030 baseline case or business-as-usual case would
21 look like as the counterfactual that we would use to
22 measure any decarbonization scenario impacts against.
23 Then we also had to define a 1990 GHG emissions baseline
24 to determine what the 40 percent GHG reduction goal
25 would look like in 2030 or need to. Lastly, we could

1 define one or more scenarios to analyze within the broad
2 building decarbonization strategies.

3 So, first question is what exactly is being
4 assessed? So, my colleague Michael Kenney already laid
5 the seven-broad building decarbonization strategies
6 which are listed on the left-hand side here. So the
7 first being building end use electrification. The
8 second, decarbonizing the electricity system. Third,
9 energy efficiency both on gas and on the electric side.
10 Four, refrigerant conversion and reduction. Five,
11 distributed generation and storage. Six, decarbonizing
12 the gas system. And seven, demand flexibility.

13 So in order to determine the impact of any given
14 scenario within a building decarbonization strategy, we
15 need to define what our reference baseline is.

16 Basically, what's forecasted to occur in our business-
17 as-usual case in the year 2030?

18 So in order to do that, staff relied on the 2019
19 IEPR or Integrated Energy Policies Reports California
20 Energy Demand Forecast to establish that reference
21 baseline or the annual 2030 GHG emissions for the
22 AB 3232 analysis. What are they expected to look like
23 without any additional building decarbonization efforts
24 other than some of the ones that are already in place?

25 So, the 2019 forecast already has several of

1 these building decarbonization strategies included. For
2 example, Energy Commission staff routinely develops
3 manage forecast which adjust a consumption baseline for
4 AAEE which is additional achievable energy efficiency.
5 And those are energy savings that are going to result
6 from efforts that are, you know, they're reasonably
7 expected to occur but they lack firm funding commitments
8 or implementation plans. So, we develop those for a
9 range of scenarios from conservative to aggressive. And
10 we use a moderate one or a mid-mid case for our actual
11 forecast here, our baseline.

12 The same is occurs for photovoltaics. So there
13 for Row 5, the distributed generation and storage in
14 yellow, there are some behind-the-meter PV such as those
15 on new construction because of Title 24 and other
16 programs that exist and those are included in our
17 business-as-usual or 2030 baseline forecast.

18 So, in the decarbonizing the electric system in
19 orange, there's no estimate there in our baseline
20 forecast. And then for demand flexibility, there are
21 some traditional nonevent base load management programs
22 that are included in our business-as-usual examination.

23 So then if went back up to line 3, energy
24 efficiency, right, that we have that modest case that's
25 included already both for gas and electric energy

1 efficiency. And if we go one line above that,
2 decarbonizing the electric system, we do include a
3 60 percent renewable portfolio standard by 2030 as
4 required by SB 100 and our business-as-usual baseline
5 assumptions.

6 And there is a little bit of all electric new
7 construction that's in both the residential and
8 commercial building sectors as part of our AAEE but it's
9 very small. So, it's nothing compared to the
10 electrification scenarios that we'll be presenting
11 shortly. So, this is our 2030, what's 2030 going to
12 look like without any additional efforts that we haven't
13 taken already.

14 So, then the second part here is we need to
15 define what to include in the 1990 GHG baseline. So,
16 Michael had already shown, you know, the system-wide
17 emissions and the direct emissions and they're quite
18 different what you include in that baseline and what
19 that 40 percent reduction actually ends up looking like.

20 So, I believe Commissioner McAllister mentioned,
21 you know, the legislation really doesn't specify the use
22 of a specific GHG metric, but it does suggest two
23 approaches. And these are the two approaches that we
24 did explore. So, the direct emissions approach and then
25 a more holistic system-wide emission approach.

1 So as you can see on the chart on the left-hand
2 side, you know, they both account for incremental
3 electrical generation emissions from any electrification
4 or fuel substitution efforts behind-the-meter leakage,
5 gas combustion as well as non-gas combustion, et cetera.
6 And really the difference is in bold. So, the
7 difference is whether electric -- the electric
8 generation systems attributed to buildings in the
9 residential and commercial sectors are included in the
10 baseline set for 1990.

11 So, what we can see in this table here is that
12 the baseline really matters. Right? The direct
13 emission baseline's approach requires much more
14 reduction in GHG emissions. So on the very right-hand
15 column, the amount of GHG emission reductions needed
16 from now to 2030 would be 5.5 million metric tons of
17 carbon dioxide equivalent under the system-wide baseline
18 but would be almost four times more at 22.1 mm tons
19 under the direct baseline. So, we'll see a little bit
20 more graphically what is going on here.

21 So of course there is the portion where we -- if
22 we're not including the electric generation system,
23 we're also not including the vast efforts that have been
24 made on that supply side by incorporating more
25 renewables. So that's one piece. But then the other

1 portion is that HFC emissions really have been rapidly
2 increasing over the past few years. And so, in 1990,
3 there weren't actually HFCs, it was a negligible amount
4 of HFCs but because most refrigerants at that time were
5 actual ozone depleting substances which have fortunately
6 been declining. So we had to do a back cast to be
7 consistent with the SB 1383 CARB 2013 baseline there to
8 include the refrigerants that did occur, that did exist
9 in 1990 in that baseline.

10 So, let's go look at a little bit more here. So
11 some more thoughts about why it might make sense to
12 bring in the electric generation system into our AB 3232
13 residential and commercial building analysis. So, SB
14 100 does require major changes in the electric
15 generation system that greatly reduce its carbon
16 emissions through time. Under a business-as-usual
17 demand assumptions, the residential and commercial
18 building sectors are about 70 percent of the total
19 electric system load.

20 Then emissions from the generating system are
21 directly influenced by changes in electric consumption
22 by the building sector. So, what we're saying here is
23 if we change how much residential or commercial
24 buildings, how much electricity they're using, we
25 actually change the emission intensities of the electric

1 generation system. So that might make sense, then, to
2 include the electric generation system.

3 So for example, the reductions in electric
4 consumptions such as what occur with electric energy
5 efficiency or, you know, behind-the-meter rooftop PV
6 which are included in our baseline forecast for 2030 or
7 a new building decarbonization strategies that we could
8 add on top of that, they'll actually reduce electric
9 generation system emissions.

10 On the other hand, increases in electric
11 consumption through building electrification will
12 increase electric generation system emissions in all
13 years. And they don't just do that during the study
14 time period where we're actually maybe installing new
15 equipment from 2020 to 2030, but it does exist
16 throughout the lifetime of that equipment. So given an
17 approximate lifetime of 15 years, it would go out to
18 2045.

19 So here we have a visual of depiction of the
20 emissions using the system-wide emissions target. So,
21 on the very left-hand column, we have the 1990 values
22 and we can quickly see that emissions have declined
23 since 1990 to 2018. And most of that is from the brown
24 column in the electric generation sector by having
25 incorporating more renewables and so on.

1 So, we can see that projected continued decline
2 when we look at our 2030 baseline case on the very
3 right-hand side. Right? That brown hash column is
4 shorter again. What we don't see is a significant
5 change in the blue column, the gas combustion. And
6 that's not because we don't have a lot of efficiency
7 efforts but because of California's building stopped
8 growing. So, in some sense the efficiency efforts are
9 just keeping the gas consumption stable.

10 So compared to the 2030 reference baseline or
11 business-as-usual case, the system-wide GHG emissions
12 target setting which is by the purple dotted line here
13 across the bar would require an additional 5.5 mm tons
14 of carbon dioxide equivalent to be avoided in order to
15 meet a 40 percent reduction if we use that system-wide
16 GHG metric.

17 So, I'm going to show you a similar picture here
18 for the direct emissions and that looks a little
19 different. We can see that more aggressive action would
20 be required. We can see from 1990 to 2018, right, we
21 don't have the electric generation system there so
22 there's no gain here. It's -- you can see a little bit
23 more clearly that, you know, maybe energy efficiency and
24 gas consumption is winning out a little bit against
25 growth so that's nice to see. And then we can see that

1 non-gas fuel combustion is also diminishing in the
2 orange bar and we do have flatline forecast from that
3 2018 value from the last CARB inventory to 2030.

4 And then the behind-the-meter gas leakage in
5 green scales with the gas consumption. And HFC leakage
6 as we mentioned before is actually increasing. So, what
7 we see is that these bars are not too different. Right?
8 It's actually slightly higher projected in 2030 than
9 what we had in 1990 despite all the growth. Right?

10 So, what that means is that we would require an
11 additional 22.1 mm tons of carbon dioxide equivalent
12 reduction. So that's a much more aggressive goal. And
13 then if we considered, you know, electrification as one
14 of the strategies, then that would actually add more
15 HFCs. Right? Because those refrigerants are the ones
16 that are predominantly used in heat pumps today.

17 All right. So lastly, we get to the fun part.
18 So, then we can start defining one or more scenarios to
19 analyze within the seven-broad building decarbonization
20 strategies. And we had impact scenarios versus
21 electrification scenarios that we studied in more detail
22 that we actually develop a tool to analyze for it and
23 we'll talk about that in a moment as well. But there's
24 still not nearly an exhaustive set of scenarios.
25 There's just some that we chose to kind of start

1 illustrating what these efforts might look like. And
2 they were all analyzed independent of each other. So,
3 we can see exactly what kind of potential might exist
4 where.

5 All right. So, on the left-hand side we have
6 our column of building decarbonization strategies,
7 right, the seven that we've been talking about. Then we
8 have the specific decarbonization scenarios analyzed in
9 the second column and what we used in those
10 decarbonization scenarios. So, as I mentioned, we had
11 developed a specific tool for this. We are presenting
12 four decarbonization or electrification scenarios here.
13 The minimal, moderate, aggressive, and efficient
14 aggressive scenarios. And what they do is they
15 incorporate a broad range and combination of
16 electrification. So not just in new construction but
17 throughout existing buildings. So looking at appliance
18 burnouts and early appliance replacements.

19 So, then we have the second row, decarbonizing
20 the electricity system. We have an accelerated
21 renewable electric generation resources. So, we
22 increase the RPS requirement to 65 to 70 percent by
23 2030. And energy efficiency we did something similar.
24 So we picked our more optimistic more aggressive energy
25 efficiency scenarios from gas and the electric side

1 separately and analyzed what those, it added incremental
2 efforts would do compared to our business-as-usual
3 baseline.

4 Then we did not look at -- we did not assess
5 refrigerant conversion and reduction. We looked at
6 specifically incremental added rooftop solar PV systems
7 for the distributed generation and storage. We looked
8 at the IEPR high penetration PV scenario. And then for
9 decarbonizing the gas system, we examined what it might
10 look like to substitute 20 percent of fossil gas in the
11 pipeline with renewable gas by 2030.

12 Lastly for demand flexibility, we looked at what
13 an automated system that could take advantage of
14 curtailment so that could adjust consumption by avoiding
15 that peak consumption according to some (indiscernible)
16 and take schedules would actually do, how much load that
17 could shift and how that could help.

18 So to summarize how we mapped the broader
19 building decarbonization strategies to the analyzed
20 scenarios and how those compared to the baseline. The
21 AAEE scenario is a mid-mid did contain a very low
22 penetration of all electric new construction. But for
23 our AB 3232 decarbonization scenario, we are including
24 replace on burnout, early retirement, and everything at
25 much higher rates than elsewhere.

1 Then instead of having a 60 percent renewable
2 portfolio standard as set by SB 100 in 2030 for our
3 decarbonizing the electricity system scenario, we raised
4 that up to 65 to 70 percent by 2030. And for the AAEE
5 scenarios, we went with our most optimistic scenarios
6 and we looked at what additional impact, additional
7 energy efficiency would have beyond the portion that's
8 already included with the Scenario 3 in our business-as-
9 usual 2030 baseline.

10 So, as I mentioned, Strategy 4 is not assessed.
11 Strategy 5, we used the high penetration rather than the
12 mid-penetration, we look at that incremental impact.
13 And the renewable gas substituting for 20 percent of
14 fossil gas headlines were put is not incremental to
15 anything because there is no fossil -- there is no
16 renewable gas considered in our baseline case.

17 And then for demand flexibility, right, we are
18 including traditional nonevent base load management
19 programs in our business-as-usual. But here we would
20 like to look at what automated systems that could take
21 advantage of curtailment and avoid net peak consumption
22 could do.

23 So now I'm going to move on to an overview of
24 what our field substitution scenario analysis to our
25 FSSAT did in order to evaluate the electrification

1 scenarios.

2 So, we start with the Integrated Energy Policy
3 Report Gas Demand Forecast. So, we have gas consumption
4 and we use the 2019 vintage. So the gas and electricity
5 demand forecast in the IEPR are updated every two years
6 so we will update that as part of our 2021 IEPR process
7 as well but the last full update would have been in
8 2019, so that's the most recent vintage.

9 So, we take that gas demand forecast and then we
10 decrement it by our business-as-usual assumption for
11 AAEE, an additional achievable energy efficiency and
12 gas. So that reduces the consumption of gas to our
13 business-as-usual case.

14 Then we take that end use consumption for the
15 residential and commercial sectors and we have specific
16 end uses that we just aggregate down to the technology
17 level so that then they can be eligible for fuel
18 substitution, right. So electrification at that end use
19 and technology level.

20 So first, specific gas technology, we then have
21 an array of electric technologies that could be
22 substituted for that gas technology and still provide
23 the same service. So one could have a furnace, you
24 know, gas furnace that could be replaced with various
25 efficiency levels of heat pumps, for example. And those

1 different heat pumps, you know, maybe a much more
2 efficient heat pump might be more expensive than a
3 slightly less efficient heat pump.

4 So once we define a specific electrification
5 scenario, we can then run that substitution using this
6 tool and we get annual outputs that give technology
7 stock, cost of substitution, the incremental electricity
8 added because we are adding electricity when we're
9 displacing gas. And most importantly our net GHG
10 emissions. And we're hoping that those go down. Right.

11 So then with -- we also have an hourly
12 calculation that can take the annual values and match
13 those to the appropriate end use consumption load curves
14 and then we can get hourly electric consumption
15 increases, as well as hourly GHG emissions. And those
16 will become important when we look at how that interacts
17 with the electric generation sector and also some people
18 had some questions about like planning and reliability.
19 You know, this is where we can start looking at what
20 this might occur -- what might occur. And we'll talk
21 about that a little bit more this afternoon.

22 So first, what are these scenarios in fact?
23 Right? So, we define minimal, moderate, aggressive, and
24 efficient out aggressive here. They're all aggressive
25 when you look at new construction. Right? We assumed

1 100 percent of residential and commercial new
2 construction would be all electric by 2030. The replace
3 on burnout rate so once, you know, your furnace gives
4 up, then you replace it with a heat pump. Maybe there's
5 an attractive incentive program, right. So, the
6 15 percent replaced on burnout rate for the minimal
7 50 percent for moderate and all the way up to, yes, as
8 the name implies, aggressive at 90 percent for those two
9 scenarios.

10 Then early replacement, 5 percent for minimal
11 and moderate and 70 percent for aggressive might be a
12 little harder to convince people to give up a fully
13 functioning device and we wanted to be a little bit more
14 moderate in those assumptions while still trying to
15 achieve these goals.

16 So the technology efficiency. So, like I had
17 mentioned when we were talking about the technology base
18 substitution that would occur in our electrification
19 scenarios, there might be more than one electric
20 technology that could be substituted for a specific gas
21 technology.

22 So, when there was more than one, then we would
23 have to choose how we weight that mix. You know,
24 does -- is any, you know, efficiency equally likely to
25 occur or did we weight it to the higher efficiencies,

1 you know, we're more likely to choose higher efficient
2 electric technologies. And that's what the high
3 efficient weighted mix did. And that's what we use for
4 the minimum, moderate, and aggressive scenarios.

5 So, what defines a difference between the
6 aggressive and the efficient aggressive scenarios is
7 that we're really trying to look at the single best
8 efficient technology that could be reasonably
9 substituted for a specific gas technology in that case.
10 And there will be some consequences for that which do
11 motivate the idea of quantitatively of efficient
12 electrification. I think it should make sense.

13 So, then the last bit in our tool here is our SB
14 1383 toggle because we saw that HFC emissions actually
15 can contribute quite a bit to our GHG and reducing them
16 would be very beneficial. So, CARB has the SB 1383 work
17 that they're doing, and we just looked at a very
18 extreme, you know, bookend, you know, of either
19 completely on or completely off. And of course,
20 realizing that that's not an entirely accurate portrayal
21 of what one might expect to occur. But they give us
22 bookends, they give us ideas about how important SB 1383
23 in fact is.

24 All right. So, let's say a few more things
25 about how the electric generation analysis was done and

1 how our supply office was involved. Angela will give
2 you more details in our afternoon presentation. But for
3 each of the electrification scenarios as well as any
4 other scenario such as electric energy efficiency that
5 would change the total -- the total electric load from
6 both residential or commercial buildings, we developed
7 annual electric consumption impacts and then use the
8 hourly load shapes to develop (indiscernible) load
9 impact.

10 So, these changes in electricity consumption due
11 to whatever scenario would then have to be added to the
12 2020 to 2030 baseline hourly loads from our business-as-
13 usual forecast.

14 So, then we handed over those hourly values to
15 the supply office and they developed resource additions,
16 renewables in this case, to satisfy RPS requirements and
17 added battery storage to satisfy planning reserve margin
18 requirements. They then needed to translate the revised
19 resource mixes into PLEXOS production simulation inputs
20 and ran those for benchmark years 2020, 2025, and 2030.

21 Finally, those results were postprocessed into
22 annual GHG emissions and interpolated to create GHC
23 emission intensities for the time period of 2020 to
24 2045.

25 Lastly, we had to take those electric generation

1 emission intensities and scale those so that we were
2 only including the portions from residential and
3 commercial buildings and then we could figure out what
4 that electric consumption would -- what, you know, what
5 those electric generation GHG emissions would be for
6 those two building sectors.

7 All right. So that's it for now. And after
8 questions, I suppose we can all have lunch.

9 MR. ROSALES: Ingrid, good job --

10 MS. NEUMANN: At least I'm the only one looking
11 forward to it.

12 MR. ROSALES: -- thank you.

13 MS. NEUMANN: I don't know.

14 MR. ROSALES: I think we all are. Thank you,
15 Ingrid, good job.

16 Brian, can you start on my slide 3?

17 Ingrid, I'm going to help you facilitate the
18 Q&A. So one second.

19 Okay. Everyone, this is another, our second Q&A
20 session and public comment period. So, if you got
21 written questions, feel free to type in again into the
22 Zoom Q&A. If you would like to have a -- provide a live
23 question, please use the raise hand function and we will
24 get to questions in the order they come in.

25 But to begin, let me turn to the dais.

1 Commissioner McAllister, other commissioners, do you
2 have any questions or comments you'd like to start us
3 off with?

4 COMMISSIONER MCALLISTER: I'll just start off by
5 thanking Ingrid for the presentation. That was a really
6 dense presentation. And I certainly -- so we will be,
7 if they're not already, we will be posting the -- all
8 the presentations from today. And so I think there's a
9 lot of food for thought here and it's going to be very
10 important not only to, you know, get your sort of
11 clarifying questions answered today, you know, as we can
12 given the time constraints but also submit questions and
13 comments and any uncertainties you might have, you know,
14 in your comments to the docket during the comment
15 period. So that will be helpful, and potentially you
16 can ask some staff back and forth for clarifying if
17 there's ongoing uncertainties.

18 So, I just wanted to say that. But just
19 acknowledging there's a lot of content here. A lot of
20 analysis went into this and, you know, expect that
21 people take a little while to get their heads around it.

22 But yeah, thanks again Ingrid for that.

23 COMMISSIONER GUNDA: Commissioner McAllister,
24 this is Siva. I think I just want to integrate that
25 that is a very robust presentation, with a lot of nuance

1 to it.

2 Ingrid, thank you. I think you did an excellent
3 job trying to convey that the boundaries, the current
4 analytical boundaries and the scope and I do agree with
5 Commissioner McAllister that it's for people who might
6 be listening to this for the first time, it might need
7 some time to digest. And so, I'm glad we're going into
8 a lunch break so people can think it through and come
9 back with any clarifying questions they might have.

10 MR. ROSALES: Thank you, Commissioner.

11 Commissioner Rechtschaffen, do you have any
12 questions?

13 COMMISSIONER RECHTSCHAFFEN: I don't have any
14 questions, thanks.

15 MR. ROSALES: Okay. Thank you.

16 Let's go over to the public Q&A. There are two
17 questions -- two questions, they're both from Matt
18 Horowitz.

19 The first one is, does 70 percent early
20 retirement mean that 70 percent building stock is
21 electrified by 2030?

22 Ingrid, if you're on the line, do you want to
23 take this one, answer live?

24 MS. NEUMANN: Well, it means every time that
25 something burns out, right, so it reaches the end of its

1 useful life, that 70 percent of the time it's replaced
2 by an all-electric from that spectrum of technologies
3 that we can chose from.

4 So, I guess, I mean, does that mean that by 2030
5 everything is going to be -- or 70 percent of existing
6 building stock is going to be all electric? And I think
7 the answer would be no because you probably don't
8 have -- I mean, with -- if you have an existing useful
9 life of 15 years, it's not all going to burn out in that
10 projection time period of 2020 to 2030.

11 So maybe that's the best way to answer that.

12 MR. ROSALES: Thanks, Ingrid.

13 The second question also from Matt Horowitz.
14 Are all new kilowatt hours sales from electrification
15 met with new solar PLEXOS or is it based on electric
16 generation proposal mixed in that year?

17 Ingrid, do you want to take this one as well?

18 MS. NEUMANN: Yeah, I think it's more the
19 latter. I mean, if Angela is on, she would be able to
20 answer that better.

21 MS. TANGHETTI: Hi, I am here. Thank you.

22 Thanks for that question, Matt.

23 And the answer to that question is each AB 3232
24 scenario we looked at with increased electrification, we
25 looked at the portfolio not only with solar and

1 batteries included, but it was out of state resources as
2 well as in state when those were some of the -- and
3 some, small amount of geothermal. So those were the
4 candidate resources in our portfolio to meet the
5 additional electrification.

6 The storage was added simply for reliability
7 from each scenario. So, if there were additional
8 reliability resources needed, there was storage added.

9 MR. ROSALES: Thank you, Angela.

10 Going to the next question.

11 Karen Christiansen. Great presentation, Ingrid.
12 She's asking: Does the report look at ways to combine
13 elements of these individual scenarios? If not, is this
14 a planned future effort?

15 MS. NEUMANN: So this report does not.
16 Everything is evaluated like each scenario within a
17 given strategy is evaluated independently. I mean, I
18 think there is a desire to look at, you know, of
19 combining that but that's a very, very involved process.
20 And there's a lot of things. There are a lot of things
21 that we can work on, and then there are other things
22 where there's just less data available. So, it's not
23 included in this report.

24 MR. ROSALES: Thanks, Ingrid.

25 COMMISSIONER MCALLISTER: Yeah, I just want to

1 express that there -- you know, this report is kind of a
2 development of an analytical tool and, you know, the
3 scenario work that you've just heard about. The IEPR
4 will explore this further and you'll, you know,
5 certainly the energy efficiency in the near term, the
6 energy efficiency, you know, at negative cost is
7 obviously something we would want to go first and kind
8 of going off that cost curve.

9 So, it's really good point that, you know, the
10 various scenarios working together is probably what the
11 optical path ends up looking like. And the report
12 actually does talk a little bit about that. But the
13 analytical piece needs to come going forward to
14 integrate some of these scenarios.

15 COMMISSIONER GUNDA: Commissioner McAllister, if
16 I may, just want to add to I think to your point, I
17 think just want to note, take the opportunity that this
18 question that -- the analytical underpinning, the
19 methodological kind of framework has been an important
20 part of the development of 3232 process. And I think
21 just as Commissioner McAllister noted, not just the
22 diversity of kind of how we combine these different
23 measures but also what's happening on the analytic side,
24 what's going to happen on the distribution side.

25 All of that will play into that idea of demand

1 analysis as well as supply analysis and we have to come
2 together in this domain of building electrification and
3 building decarbonization. So, I think we really have
4 our work cut out for the future, it's just the
5 beginning.

6 MR. ROSALES: Thank you, Commissioner.

7 Ingrid, I think this next question is for you.
8 It's from Marcus (indiscernible).

9 For replace on burnout, does the study account
10 for the fact that most residential and commercial HVAC
11 equipment lasts well beyond the stated useful life of 15
12 years for gas furnace? Will stop gas packs are optical
13 in 20 years.

14 MS. NEUMANN: It -- right now we're pretty much
15 looking at most things at 15 years. I think some of
16 the -- for residential. I think some of the commercial
17 HVAC is longer. We're -- I mean, one of the things
18 we're looking at is kind of a giving a little bit more
19 of a curve to that. You know, not having everything cut
20 off in one year, though that does give us an average,
21 you know, kind of approach. So, it's not at that detail
22 yet.

23 MR. ROSALES: Thanks, Ingrid.

24 Next question here from Mabel Garcia-Payne.

25 How far will TECH incentive get us toward the

1 building end use electrification goal?

2 I'm not sure if there's anybody in the staff who
3 can answer that more directly. But, Ingrid, it looks
4 like you might -- do you have anything to add here in
5 terms of one answer?

6 MS. NEUMANN: Yeah. I was just smiling because
7 it would be nice to get some preliminary data once some
8 of those programs go out and then we could incorporate
9 that in various analyses. So that would very exciting
10 to figure out where that would get us. Right? And I
11 think it depends on what, you know, what types of things
12 are being incented.

13 We are looking at breaking up our -- I mean, we
14 have done that now. Broke up the residential sector to
15 include not just, you know, single family, multifamily
16 as the segment but actually have low-income single
17 family and low-income multifamily so that we could
18 better represent any then what then becomes historical
19 data and kind of expand this analysis from being, you
20 know, what if we did this replacement to oh, there's
21 this program in place. And if that continues, what will
22 that look like? So that's kind of that pending work
23 that's going to be pretty exciting.

24 COMMISSIONER MCALLISTER: I wanted to just
25 address Mabel's question there as well. So, the TECH

1 and build programs, in particular the TECH program that
2 you're asking about are both funded by the Public
3 Utilities Commission. We are administering at the
4 Energy Commission the build program. The TECH program
5 is being overseen and administered through the PUC
6 itself.

7 Those -- if I'm not mistaken, both of those
8 programs add up to about \$200 million, something along
9 those lines. And that really -- that sounds like a big
10 number but that's really just a drop in the bucket in
11 terms of what would be necessary to get to scale that we
12 need to really move the needle on, you know, getting to
13 our existing buildings regularly, but you know, shifting
14 the marketplace to add some scale.

15 So those programs could, you know, be a pipe for
16 much more -- for more resources. But, you know, at the
17 moment we have those programs to kind of get the market
18 moving and change the paradigm a little bit. But the
19 scale really needs to come, you know, there needs to be
20 a much bigger scale to get to our goals.

21 MR. ROSALES: Thank you, Commissioner.

22 Next question, Ingrid, I think this might be
23 best suited for you.

24 This is from Evelyn Loya. She's asking when you
25 calculate the 87 60-hour load impact, how did you

1 address weather demand variabilities? Was the 87 60
2 profile based on a standard or average year? And
3 lastly, how are you addressing peak demand periods for
4 space heating requirements?

5 MS. NEUMANN: Yeah. So, I mean, these are fully
6 calendarized and they're -- I can put a link in for most
7 of the load profiles that we used. They were from our
8 efforts in the forecasting unit to update load profiles.
9 So, there's a report on that and it includes all of the
10 information there.

11 And then there was something -- went away. It
12 was something on -- we did separate for heat pump load
13 profiles, we did separate between cooling and heating.
14 On an average, we were -- okay, so it asked how are you
15 addressing peak demand periods for space heater
16 requirements. Yes, so we can see that. I mean, if
17 we're addressing it, I don't think we've gotten that
18 far. But we can see that the winter peaks and we'll see
19 that in the afternoon, actually grow more than the
20 summer peaks. So that is something that would have to
21 be considered if one did have any concerted
22 electrification effort in the state. As far as system
23 reliability and, you know, perhaps having a winter
24 peaking system in some places instead of a summer one.
25 So that's a really good question. But I can find

1 that --

2 MR. ROSALES: Thank you, Ingrid.

3 NS. NEUMANN: -- with the load profiles and drop
4 it in here.

5 MR. ROSALES: Yeah, thank you. Appreciate that.

6 Matt, do you want to take the next question
7 live? It's from an anonymous attendee. Will the
8 supporting data substantively made public? And if so,
9 when?

10 MR. COLDWELL: Yeah, thanks, Eddie. I was
11 actually intending to type the answer and I hit the
12 wrong button. But I could just answer it live.

13 So yes, the supporting data is publicly
14 available. I think the building decarbonization
15 assessments webpage was posted in the chat box with a
16 link. And if you look at the docket, all of the report
17 and the appendix and the supporting data is all included
18 in the docket. So, you can find it there.

19 MR. ROSALES: Thank you, Matt. That's right.
20 All the leaks are on the -- are felt throughout on the
21 proceeding webpage, the supporting documents in the
22 docket. And they posted it on the chat box.

23 If anyone has any issues accessing any of the
24 links, let us know. Okay. They have been posted and
25 shared.

1 Okay. And then we've got one more question here
2 from Bob Gramer (indiscernible). Will the final session
3 regarding ratepayer in fact given the proceedings going
4 on at PUC? And the fact that this data moved into TOU
5 rates, will CEC AB 3232 report investigate various
6 scenario impacts on electric ratepayers in new homes?

7 If electric use in new homes with EV charging
8 will be increasing threefold in the coming years. This
9 is a very critical issue to investigate.

10 Ingrid or Michael, do you -- are you interested
11 in addressing some of this right now?

12 MS. NEUMANN: I mean, I could say maybe we
13 don't -- sorry, the allergies are not doing me any good.
14 Okay.

15 I mean, we haven't -- this is a really good
16 question. It's one of those things where one would have
17 to consider it. We did do some analysis but -- and that
18 could be found in the main report and more in the
19 appendix on rates. But there were some things that
20 weren't included there.

21 So, it's -- it's a work in progress, really.
22 And I don't think we have anything definitive to say
23 that this is how it's going to work. You know, but this
24 is one direction that things could go and then see how
25 that works out at the CPUC and that sort of thing.

1 COMMISSIONER GUNDA: Go ahead, Commissioner
2 McAllister.

3 COMMISSIONER MCALLISTER: Oh, sorry. Yeah, I
4 would just say that's a broad question and for example,
5 the transportation piece is broader than just AB 3232
6 work. But it is certainly, you know, as we know the
7 electric load is going to go up and certainly those
8 costs have to be considered. And, you know, the typical
9 way that's done is through the essentially the
10 ratemaking process. But the -- yeah, so I guess I'll
11 leave it there for now.

12 But Commissioner Gunda, did you want to chime
13 in?

14 COMMISSIONER GUNDA: No, Commissioner, I think
15 you actually said what I was going to say. I think
16 we -- as Commissioner McAllister pointed out early on,
17 this is a very integrated approach as we move forward.
18 So, I think it is analysis and vision to integrate these
19 ideas of sectors and the impacts of demand and supply
20 and emissions. But as they pertain to the rates, I
21 think this is wonderful to have the collaboration that
22 Commissioner Rechtschaffen's here and I think we're
23 going to work with PUC closely to think through how best
24 to download those impacts and synergize the efforts.

25 COMMISSIONER RECHTSCHAFFEN: Thank you. This is

1 Cliff Rechtschaffen at the PUC.

2 Bob, it's an important -- it's an important set
3 of issues and we are thinking about the rate impacts of
4 various types of electrification as Commissioner
5 McAllister said that your question goes beyond the
6 building sector. It's complicated like a lot of these
7 things but it is something in our mind that we -- as I
8 said in my opening remarks, we want to make sure that as
9 we go to deeper and deeper penetrations of
10 electrifications, ratepayers can bear the cost of the
11 increasing electricity use. And of course, we're
12 changing to time of use rates and there's other
13 considerations out there.

14 So no answer, no clear proceeding to point to
15 but it is something that we know we have to work through
16 going forward.

17 MR. ROSALES: Thank you, Commissioner. Thank
18 you, Commissioners.

19 The next -- the next statement is from Janet
20 Burman (phonetic). Not a -- doesn't seem like a
21 question.

22 Commissioner McAllister, you had commented you
23 would like to answer this live. I don't know if that
24 was a mistake or if you'd like to make it --

25 COMMISSIONER MCALLISTER: No, no, no. Jim is

1 just pointing out that I was too reductive when I was
2 talking about the source of funds for TECH and build.
3 They're actually ratepayers and actually they're gas
4 ratepayers that are funding both of those programs. So
5 it was, you know, the PUC has dominion over those funds
6 but they actually do come from gas utility ratepayers.
7 So thanks for that reminder, Jim.

8 MR. ROSALES: Thank you, Commissioner. So, we
9 are all through the posted questions. We don't see any
10 raised hands. I'm taking that that no one has any live
11 questions. And also no one's -- doesn't seem like
12 anyone's calling in by phone.

13 So, Commissioner McAllister, I'd just like to
14 check with you on time. So, it's 12:47 right now. We
15 are -- we're almost a full 60 minutes ahead of where we
16 had expected to be. So we can either continue with the
17 next presentation. Sorry, Ingrid, I know you wanted to
18 take a break. But this might allow us to get through
19 the next presentation and then take a break or we can
20 start our break now.

21 Commissioner, I'll give you the option.

22 COMMISSIONER MCALLISTER: I'll ask my
23 colleagues. I'm included -- I mean, this is, this seems
24 like a reasonable lunchtime to me given that it's almost
25 1:00. So, I think we'll just chock it up to efficiency.

1 I think we ought to start, though, earlier in
2 the afternoon, if that could work. Rather than a 2:30,
3 perhaps we can convene at 1:30.

4 MR. ROSALES: That sounds okay by me. Let's do
5 that, we'll put up a -- we'll put up a slide and remind
6 folks that we're going to restart, reconvene at 1:30.
7 And so we'll wrap up the Q&A and we will go into our
8 break. Is that okay?

9 COMMISSIONER MCALLISTER: Yeah, I think that's
10 good. Let's -- I'm just worried that if people that
11 planned to be only here for the afternoon that we would
12 need to make sure that they know we're starting off the
13 agenda at 1:30 instead of 2:30. So let's put, you know,
14 that information and just let it stay over the break.
15 So, if people do log on at some point they'll know.

16 If they come in at 2:30, they're going to miss
17 what they wanted to say. Anyway, we --

18 MR. ROSALES: Yes.

19 COMMISSIONER MCALLISTER: Let's see, I guess I'm
20 just wondering if -- if the process really ought to be
21 time certain for 2:30 like you said.

22 Sorry, I'm going to change my mind here. I
23 think we're going to start at 2:30. If we start at 1:30,
24 we run the risk of people being left out who had planned
25 on only being for the afternoon session.

1 So, I think let's start at the planned time at
2 2:30.

3 MR. ROSALES: That's fine, Commissioner. We'll
4 put up a slide and remind folks that we will keep the
5 Zoom open and let them know we're going to restart the
6 workshop at 2:30 as planned.

7 COMMISSIONER MCALLISTER: I think that's the
8 best solution. Unless my colleagues disagree, we'll
9 just go there.

10 COMMISSIONER RECHTSCHAFFEN: I'm fine with --
11 Commissioner McAllister, I'm fine with your suggestion.

12 COMMISSIONER MCALLISTER: Great.

13 COMMISSIONER GUNDA: Same here, Commissioner.

14 COMMISSIONER MCALLISTER: Okay. Great. Okay.
15 So, we'll see everybody again at 2:30.

16 So thanks, everyone for tuning in this morning.
17 And thanks to staff for all the great presentations.
18 Looking forward to Ingrid's and Angela's presentation in
19 the afternoon.

20 Thanks, Eddie, for emceeding.

21 MR. ROSALES: Thank you. We will reconvene.

22 (Off the record at 12:49 p.m.)

23 (On the record at 2:31 p.m.)

24 MR. ROSALES: Let's see. We'll -- maybe we'll
25 just get started with the afternoon. Really appreciate

1 everybody chiming back in. 125 and climbing there, so
2 that's great.

3 Let's begin the afternoon session with Ingrid
4 Neumann and Angela Tanghetti talking in more depth about
5 the decarbonization scenario impacts.

6

7 MS. NEUMANN: All right. So, I trust you can see the
8 title side that says Builder Decarbonization Scenario
9 Impact.

10 MR. ROSALES: Indeed.

11 MS. NEUMANN: Great. Okay. So good afternoon
12 and welcome back. I'm Ingrid Neumann and I will be
13 presenting my colleague Nick Janusch's work. I will do
14 my best to service his voice for the GHG emission
15 impacts and cost analysis that he performed. So, let's
16 start with looking at the emission impacts occurring in
17 2030.

18 So, these are the GHG emission impacts, right,
19 that we're interested in here for the residential and
20 commercial building sector. So, there's a lot of
21 information in this figure. And this figure is the one
22 that's in the main report and we want to walk you
23 through it. So, what's presented here are the nine
24 scenarios, those specific scenarios that we chose and
25 examined, and the amount of emissions reduction that

1 each one provides in the year 2030.

2 The black dashed line at the top is the amount
3 of reduction that would be needed using the more
4 aggressive direct emissions baseline. And the red solid
5 line is the emission -- system-wide emissions target for
6 that more holistic view.

7 So, our goal is always to surpass the 40 percent
8 target lines. And we can see that the green bars in the
9 middle that present the electrification scenarios in
10 fact do that for the system-wide emissions. Of the five
11 impact scenarios, we separated them out in the way that
12 we did here by moving three off to the side, those are
13 the three on the far right, that are electric based and
14 they can only really be looked at in the system-wide
15 baseline. And so incremental electric energy efficiency
16 incremental rooftop PV, and accelerated renewable
17 electric resources.

18 COMMISSIONER MCALLISTER: Hey, Ingrid, this is
19 Commissioner McAllister just chiming in quickly. It
20 looks like we're missing the 1383 impacts on the top of
21 each column. So maybe there's a --

22 MS. NEUMANN: That's correct.

23 COMMISSIONER MCALLISTER: Okay.

24 MS. NEUMANN: Yes. So, Nick wanted me to build
25 it up and these are --

1 COMMISSIONER MCALLISTER: Okay.

2 MS. NEUMANN: -- the slides that he created.

3 COMMISSIONER MCALLISTER: Okay. Oh Okay.

4 MS. NEUMANN: Yeah. Yeah.

5 COMMISSIONER MCALLISTER: Okay, got you. Got
6 you, sorry. Because it doesn't look like we're meeting
7 it in this framing. So. All right, I'll end this
8 thought. So just --

9 MS. NEUMANN: Right, right.

10 COMMISSIONER MCALLISTER: -- wanted to be clear
11 about that for folks who might have been confused. So
12 thank you.

13 MS. NEUMANN: Exactly. It's I think -- it's
14 just a lot of information in one chart and I know it
15 just, it takes, it's best to look at it step by step and
16 so that's what I was trying to channel Nick there and do
17 that.

18 COMMISSIONER MCALLISTER: Sorry about that.
19 Yeah, go ahead, that's --

20 MS. NEUMANN: No worries, no worries.

21 COMMISSIONER MCALLISTER: Yeah.

22 MS. NEUMANN: Yeah, yeah. So here we go.

23 First, right, we wanted to go through the --
24 kind of walk through what the scenarios do. So, we
25 chose the gas energy efficiency on the very left-hand

1 side in the kind of dark or dark pink, light red color.
2 And then the minimal electrification scenario, that's
3 right next to it on the left-hand side.

4 So, the top percentage for the both, so for the
5 gas energy efficiency is 36.8 percent, and for the
6 minimal electrification scenario, it's 41.2 percent.
7 Those are the ones if we choose the system-wide
8 emissions baseline. So that's the red line. Then the
9 bottom percentage in parentheses actually is the
10 percentage of the target reached under the direct
11 emissions target. So, it's only 2.2 percent for the gas
12 energy efficiency and 12.3 percent for minimal
13 electrification.

14 So, the minimal electrification scenario does
15 achieve at least the 40 percent reduction in the system-
16 wide approach, but it does not in the direct emissions
17 approach.

18 So, then we can investigate the impacts of
19 SB 1383. And we are advised to be careful about the --
20 how we interpret those impacts because SB 1383 is a
21 short-lived climate pollutant legislation that actually
22 covers several emissions in all sectors. Right?
23 Whereas in AB 3232, we're only looking at the
24 residential and commercial building sectors.

25 We're also only referring to HFC emissions of

1 refrigeration and air conditioning in those sectors.
2 And as such, the pattern bars stacked on top of each one
3 of these scenarios are unique estimated case of whether
4 the refrigeration, air conditioning, HFC emissions from
5 buildings decline 40 percent from 2013 levels by 2030.
6 So that was the benchmark year for SB 1383.

7 So, it's not a binding target because SB 1383 is
8 really economy wide and as measures are developed,
9 efforts are taken towards meeting these targets they may
10 shift between one sector to another and that sort of
11 thing. But it does give us an idea and we can see that
12 this assumption reduces the emissions by an additional
13 7.5 million metric tons of carbon dioxide equivalent.
14 So, it can change the narrative.

15 What we see here is that then the aggressive
16 scenarios actually do meet the direct emissions target,
17 the aggressive electrification scenarios. So, for the
18 blue numbers here that are on the left-hand side, the
19 ones in the 42.8 percent for the gas electric -- or
20 sorry, that makes no sense. The incremental gas energy
21 efficiency, the 42.8 percent now reaches the system-wide
22 baseline. The minimal electrification scenario now goes
23 further beyond the system-wide baseline at 47.2 percent.
24 But both still fall short of the direct emissions target
25 in the black dotted line. So those are at 16 percent

1 and 26 percent right now, if we consider SB 1383
2 success, whatever that means, in those particular
3 sectors. So, we have these bookends. Right?

4 So, if we look at the entire picture, right, the
5 narrative certainly still depends on which baseline is
6 chosen, either the direct baseline in the black dotted
7 line or the system-wide emissions baseline in the red
8 line. That extends for all scenarios. But it also
9 depends on the extent that HFC emissions are reduced.
10 And we are just looking at extreme cases here.

11 So, like I mentioned before, the aggressive
12 electrification scenarios are the only ones that can
13 achieve the much more aggressive direct emissions
14 baseline target at 48 percent and 49.8 percent when
15 SB 1383 is also quote, unquote, met. So that's the
16 chart that's actually in the report in its full glory.

17 So, this figure is a little bit different. The
18 previous figure reported potential emission reductions.
19 So, we were trying to reach a line. In this graphic,
20 we're going back to when we set the 1990 GHG baseline.
21 So, in the very left-hand side that might look familiar.
22 And we're really trying to diminish these bars so that
23 they go below the red line here.

24 So, the red dotted line here are the system-
25 wide -- is again, the system-wide emissions baseline and

1 that's the one, we're going to show you the same picture
2 for the direct emissions. And this is the one that
3 includes the share of electricity generation emissions
4 attributed to residential and commercial buildings. So
5 the far left, once again, shows the 1990 baseline as we
6 set it in the scoping and then the second one, the 2018
7 baseline, gives us an idea of where we were the last
8 time there was an inventory. And then we can project
9 for 2020 where we think we were when we started this
10 analysis. And then where we think we would be without
11 any of these building decarbonization scenarios for the
12 2030 baseline. So that would be the fourth column from
13 the left.

14 So that's the 2030 baseline without any SB 1383
15 included. And then the fifth column from the left is a
16 2030 baseline with SB 1383 efforts fully included.

17 So, in the middle we have our electrification
18 scenarios. Right? Minimal, recommended, aggressive,
19 and efficient aggressive. And, you know, they, as
20 expected, diminish. You can see some fluctuation in the
21 brown bars from the electric generation system. So,
22 indeed, the added electricity -- the added incremental
23 electricity need does affect the system-wide emissions.
24 And we can see that here.

25 Of course, the blue bars for the fossil gas

1 consumption diminish as they should if we are displacing
2 natural gas -- or displacing fossil gas. And then the
3 five impact scenarios are shown on the right-hand side.
4 And so there we can see what the accelerated renewable
5 electric generation system. We see with the higher RPS,
6 we see a diminished brown bar as well, as expected. The
7 electricity energy efficiency, it's not quite as
8 noticeable on the scale. The gas energy efficiency, I
9 think we can see that the blue gas consumption -- fossil
10 gas consumption has diminished, and so on. And
11 certainly, we can see that with the renewable gas on the
12 very right-hand side.

13 And then there are the stock HFC leakage
14 emissions in the gray stacked columns. And then the
15 lighter hash gray are what the difference would be
16 between not completing any efforts towards SB 1383
17 versus meeting those efforts fully, as we broke down
18 those percentages for the residential, commercial
19 building sector.

20 So similar as to the last figure, it does show
21 that electrification scenarios do reduce emissions by at
22 least 40 percent and they, you know, as they are
23 expected to do with having a lot less fossil gas
24 consumption.

25 So, then we want to show the same picture for

1 the direct emissions baseline. So there are fewer
2 scenarios to examine here, right, because we can't look
3 at electric energy efficiency or a different RPS
4 standard or behind-the-meter solar, right, because those
5 affect the electric generation sector and not the actual
6 -- which is not considered in this direct emissions
7 baseline.

8 So, the brown bar across this chart gives that
9 baseline that we're trying to go beneath, and we can
10 again see that only the aggressive electrification
11 scenarios in the extreme case that SB 1383 is in effect,
12 actually meet the target.

13 Okay. So, we showed you the GHG impacts
14 occurring in 2030 and now we would like to discuss the
15 costs and cost-effectiveness of those scenarios.

16 So there are many definitions of cost-
17 effectiveness and our definition is specifically adopted
18 from the 2017 CARB Scoping Plan which reads: Under
19 AB 32, cost-effectiveness means the relative cost per
20 metric ton of various GHG reduction strategies which is
21 the traditional cost metric associated with emission
22 control.

23 So, what that means is that we're strictly
24 looking at the cost side of abatement and we're not
25 including anything such as nonenergy benefits, health

1 benefits, or the social cost of carbon. So, this is not
2 a benefit cost analysis. We're just comparing the
3 relative cost per metric ton of each of these scenarios
4 against each other. The calculated dollar per ton
5 estimate reflects the average costs of activities
6 occurring between 2020 to 2030.

7 So for electrification, you know, that actual
8 substitution of a technology or for energy efficiency,
9 you know, installing a more efficient appliance or HVAC
10 system, what have you. So that all occurs in the 2020
11 to 2030 time horizon. But because the useful life
12 extends beyond that, the emissions reductions from that
13 are measured out to 2045 and the costs that occur for
14 the new equipment subtracting then the equipment costs
15 that were replacing it are included out to 2045. Right.
16 So emission reductions and costs continue past 2030.
17 So, we'll break that down.

18 So first some things about cost calculation
19 assumptions. So we are assuming an annual inflation
20 rate so that all dollar amounts, of two percent, so that
21 all dollar amounts are compared to the same year. And
22 so, they're all in 2020 dollars. There's a 10 percent
23 discount rate applied which is the same as the one
24 that's used in that 2017 CARB Scoping Plan and that's
25 benchmarked in the documentation as roughly reflecting

1 the historical average of real credit card interest
2 rates.

3 So, when looking at costs to customers, prices
4 are fixed and are based on the rates in the 2019 IEPR
5 forecast. So, the retail rates in the 2019 IEPR
6 forecast. And prices are not updated in this analysis
7 based on electrification penetration. For
8 electrification, there are three components of cost.
9 There's the incremental cost of the technology relative
10 to the -- or of the electric technology, relative to the
11 baseline gas technology costs. And for incremental
12 technology costs, we should note that the FSSAT does
13 consider the effective air conditioning costs, if those
14 are added to the baseline gas technology cost based on
15 the input of proportion of buildings that have air
16 conditioning, existing buildings, and those that do not.
17 And that's included here.

18 So, we also include the net fuel costs, right,
19 and those are the ones that would be incurred past 2030.
20 So, there's a comparison of the operating expenses of
21 the electric and gas technologies again based on the
22 2019 IEPR retail rate price -- or retail price
23 forecasts. The electric panel upgrade costs are also
24 included. The way that's done is it's at an aggregate
25 level based on the percentage of natural gas removed due

1 to the electrification efforts. It's not yet at the
2 specific building level.

3 So, here's an example how the costs are
4 disaggregated for the moderate electrification scenario.
5 So, this is the split up by sector. So commercial,
6 residential, and then combined. So, the first two bars,
7 the blue are the electric technology, and the red are
8 the avoided gas technology costs. So here we're showing
9 what it is for residential net.

10 Then the next set of bars are the, so the third
11 and the fourth set, are the net fuel costs. So the
12 electricity added and then the avoided gas costs. So,
13 we're showing that here for residential. And then the
14 last bar, which is, you know, I can't see it very well
15 because we're here on a scale of billions, right, versus
16 millions for the panel costs, is the costs for
17 residential panel upgrade costs. So, it's -- panel
18 upgrade costs are included here.

19 So, then the last set of bars include the net
20 costs. Oopsie, that went -- okay, here we are. So, the
21 last set of set of bars in green shows the net costs and
22 for residential electrification, it's \$11.52 billion for
23 this particular electrification scenario. And then
24 there's the summation of all of the above on the right-
25 hand side cluster where we have combined residential and

1 commercial. And that total net cost is the very most
2 right-hand green column at \$6.24 billion.

3 So, this table here combines both the GHG and
4 cost information so that we can start getting, you know,
5 cost per ton. The top four green rows are the
6 electrification scenarios and the bottom five rows are
7 the impact scenarios. The first column for each are the
8 annual avoided GHG emissions which without parentheses
9 would be the ones that we would have without any SB 1383
10 efforts. And then the ones in parentheses are those
11 including the added efforts of SB 1383.

12 So, the last column then shows the cost per
13 metric ton over the 2045 time horizon and we can start
14 comparing scenarios using that cost per ton. The
15 electrification scenarios vary from around 40 to 140
16 dollars per metric ton. Of course, it makes sense that
17 the cost increase with deeper electrification
18 penetration, so more effort. And the renewable gas
19 scenario has the highest cost per metric ton.

20 Many of the impact scenarios have negative
21 abatement costs, right, the energy efficiency on the PV.
22 And we want to caution to keep in mind that, you know,
23 though there might be some negative costs, these
24 scenarios might not be as scalable and many economists
25 can be skeptical of such high negative abatement costs

1 because it does imply that consumers and businesses are
2 not acting in their best interests. And sometimes that
3 appears to be a very active debate and if you want to
4 know more about that, then Nick Janusch is the person to
5 ask and I'm still learning about that as well. Because
6 I look at that, too, and I say negative cost, you know.
7 That's pretty enticing.

8 All right. So, then we translate this
9 information into creating useful curves called marginal
10 abatement cost curves. The definition of a marginal
11 abatement cost curve is one that plots the marginal
12 costs of achieving a cumulative level of emissions
13 abatement in order from least to most expensive
14 scenario, measure, or technology.

15 So, there are different ways that we can look at
16 that data. Then the MAC curves are commonly used in
17 policy analysis to indicate emission abatement potential
18 and the associate abatement costs and provide a
19 simplified and useful tool to illustrate the complex
20 issue of cost-effective emissions reduction. So, to
21 provide a visual that's maybe easier to process than the
22 chart that we were looking at before.

23 So, here's the marginal abatement cost curve for
24 the moderate electrification scenario. It shows the
25 relative cost, so the height in average cost per metric

1 ton; and then the width which actually gives a measure
2 of the abatement. So how much GHGs are removed or
3 abated out to 2545 for each of these different
4 scenarios. So, we have the residential electrification
5 portion in green. Right. Then commercial
6 electrification is in blue and it's below the axis so it
7 means it actually has a negative cost. So that was
8 something that I was asked to point out that the
9 commercial electrification in the moderate scenario had
10 a negative cost.

11 Residential electrification has the highest
12 potential meaning it's the widest, but it does have a
13 positive cost. Renewable gas also has potential but it
14 does have the highest cost in the most right-hand side
15 because that's how the marginal abatement cost curves
16 work is that the highest cost is always furthest to the
17 right and then if there are negative costs, they're
18 furthest to the left. And there we see our incremental
19 electricity -- or incremental electric energy efficiency
20 savings showing up.

21 So, this is a similar chart for the aggressive
22 electrification scenario. Here we can see that once
23 we've dug deep into the whole electrification maybe the
24 costs are not as negative anymore. Residential, again,
25 has larger abatement. We're also showing the

1 residential panel upgrade costs on top of that
2 residential piece adding to the cost. And it really
3 shows that aggressive electrification has an enormous
4 abatement potential compared to some of the other impact
5 scenarios, even if those do end up being less costly,
6 for example.

7 So, with our analysis, we can also look at the
8 abatement cost curves by end use. So maybe looking at
9 the most promising end uses on a cost metric. And this
10 is done here for the moderate electrification scenario.
11 So, note that these costs don't include the panel
12 upgrades because for this analysis, we didn't attach
13 them to a given end use or building. So that's not
14 included on this marginal abatement cost curves.

15 So, our observations are as follows. The
16 commercial water heating and HVAC have very negative
17 costs, right, there the most -- on the most left-hand
18 side of this chart. And residential HVAC, you know, has
19 a small negative abatement cost so that looks good here,
20 at minus 17 dollars -- or, yeah, per metric ton. And
21 then HVAC and water heating are more cost-effective
22 compared to other end uses. Perhaps the high appliance
23 plug which encompasses cooking and laundry costs could
24 be attributed to assuming very expensive replacement
25 appliances for those end uses, if one switches from gas

1 to electricity.

2 So, then I would to continue on the electric
3 system impacts and grid implications of these
4 electrification and impact scenarios. So, we'll start
5 with the -- well, it's all a summary of our results. We
6 did need to consider the interaction between
7 electrification and electricity generation system
8 emissions when accounting for the electric generation
9 emission impacts. Right. It did matter what the total
10 electricity demand was.

11 So, this is where we worked with our supply
12 analysis office staff to run PLEXOS for the various
13 scenarios to get those GHG impacts. So what we see in
14 the figure as the middle bar which includes the baseline
15 case that has -- so this is the baseline case for the
16 2030, what we would think 2030 would look like without
17 these electrification or impact scenarios. And we have
18 in the brown the electric generation system emissions
19 and those are computed using PLEXOS. And then we have
20 before the building electrification scenario example in
21 the most right-hand column. We also have that baseline
22 demand that's included in addition to the incremental
23 added demand. And both of those pieces have to go
24 through this process with the supply office and all
25 their PLEXOS modeling.

1 So, I am now going to hand that off to Angela
2 Tanghetti who will be speaking about the work that she
3 and her team did about the -- on the electric sector GHG
4 emission impact.

5 MS. TANGHETTI: Thanks, Ingrid. So, I guess
6 I'll start sharing my screen here. Okay.

7 MS. NEUMANN: Or you can just tell me to click,
8 Angela.

9 MS. TANGHETTI: I'll be telling you to click a
10 lot, but that's okay. That's okay.

11 So before -- I just wanted to say good
12 afternoon. And before I add any specific data and
13 analysis of this slide, I want to describe the axes
14 shown since I'm attempting to show projected electric
15 sector emissions for all AB 3232 scenarios on one chart.

16 But first, I refer to these scenarios as AB 3232
17 scenarios, but after listening to Commissioner comments
18 and stakeholder questions this morning, I'm ready to
19 embrace and begin using the acronym AAFS when we get
20 there to get myself and stakeholders familiar with that
21 term. I like it. I like that term a lot. It'll be
22 real helpful.

23 So first off, what I'm going to describe today,
24 again, is just the electric sector or the electric
25 generation system emissions as Ingrid has been sharing

1 with us.

2 So, the left axis, again, is labeled MMT and
3 this will display the million metric tons for the total
4 electric sector or also known as gray emissions. These
5 data, again, were calculated using simulation results
6 from the CEC's PLEXOS data set developed in support of
7 the 2019 IEPR, and that was our basis. So, the AB 3232
8 team was able to provide not only annual energy
9 increases but also hourly AB 3232 scenario projections
10 for use in these PLEXOS simulations results. And the
11 hourly results were real -- I mean, the hourly input
12 from this load impacts of the scenarios were important.

13 On the next slide is a link to one of our
14 presentations and you can -- we'll get to that in the
15 next where we get into the specifics of using PLEXOS
16 results to calculate electric sector emissions. It
17 was -- we've presented it numerous times before so I'm
18 not going to go into that description of calculating it
19 with PLEXOS. So, again, I'm not going over those
20 specifics today, but I'll be happy to answer questions
21 and there's links on the next slide.

22 Okay, so let's see, the left axis. So, what the
23 PLEXOS team did for each of the AB 3232 scenarios is
24 develop a unique portfolio for each scenario. The 2019
25 IEPR adopted mid-scenario with our basis or as we're

1 going to show here on the legend, it's the business-as-
2 usual case. And to that case, we either added or
3 removed additional RPS resources.

4 So, there's two cases that removed RPS resources
5 where the increased AAEE and the behind-the-meter PV
6 scenarios. Since those two cases -- oh, don't move.
7 (Indiscernible.) I want to describe those axes before I
8 start throwing the data out there first. So, the axis
9 is in the data.

10 So, again, the two cases that removed RPS
11 resources were the ones that increased the additional
12 achievable energy efficiency and behind-the-meter since
13 those scenarios decreased the load which then decreased
14 the RPS target. So, all other scenarios increase the
15 amount of RPS resources that were needed to meet the RPS
16 target, as well as the battery storage was also needed
17 for reliability for those AB 3232 scenarios that
18 increase load. So, again, we either added RPS resources
19 or in two cases took away RPS resources based on their
20 impact of to the load. Battery storage was, again,
21 needed for reliability for those AB 3232 cases.

22 And then the right axis what we're going to
23 present there is electric sector annual average electric
24 grid emission intensity. And this is a simple
25 calculation of the grid emissions that are -- I'm going

1 to show on the left axis divided by the total annual
2 energy generated from the grid for each one of those
3 scenarios. Even though it's a simple calculation,
4 annual average results may mask some of the hourly
5 average details. But still, it's a good metric to start
6 with. But, again, with building fuel substitution, the
7 hourly implications are critical as well. But for this
8 slide, I'm just going to show annual.

9 Again, the bottom axis is going to display both
10 sets of data from an annual perspective for the years
11 2022 and 2030. I didn't think it necessary to busy this
12 chart with additional years since in my opinion it only
13 showed the data right in the middle of these two
14 projected scenarios.

15 So now finally let's get to the results. So,
16 for, we're going to show is first off the IEPR 2019 mid-
17 case or what we're calling the business-as-usual case.
18 And as you can see, the emissions are declining over
19 time.

20 And then with the next scenario is the
21 accelerated energy efficiency case so we just had
22 additional AAEE. There wasn't that much in 2022. By
23 2030, there was probably 20,000 gigawatt hours of
24 additional achievable by 2030. So that's why we see a
25 more significant drop in grid emissions in the year

1 2030.

2 The next case is a rooftop PV. Again, very
3 little impact in 2022 and it's hard to see on this
4 chart, but there was impact in 2030. This case added
5 about 3500 megawatts more of behind-the-meter PV which
6 is only about 6100 gigawatt hours of additional energy.
7 So, again, the results are really hard to see from a
8 statewide perspective but they were slightly lower.

9 The next case, the accelerated renewable -- the
10 accelerated RPS target, we added about, it turned out to
11 be about 70 percent RPS, needing a 70 percent PRS by
12 about 2030. 2022, again, it was just on a simple
13 trajectory so it did lower the RPS -- I mean, raise the
14 RPS target in 2030 as well as 2022. So that's why you
15 can the decrease emissions from the base case.

16 And then the last three scenarios are AB 3232
17 additional load scenarios. So, again, the minimal and
18 moderate, the efficient, and then the aggressive. So,
19 you can see over time all emissions are in a downward
20 trajectory from a total emissions standpoint.

21 So now the next interesting metric, we're going
22 to start looking at the emission intensities from each
23 one of these so if you can go ahead and click to the
24 next slide.

25 Here is our emission intensity from the

1 business-as-usual or IEPR 2019 mid-case. Again, you can
2 see grid emission intensity going down over the forecast
3 period on the next scenario is, again, the additional EE
4 which, you know, I'm calling it very similar. It's on
5 the same trajectory over time. Those are very
6 different, small changes in 2030. The next scenario is
7 behind-the-meter additional -- behind-the-meter PV. So,
8 again, all very similar. All declining over time as far
9 as an emission intensity metric.

10 The next one is more interesting. So this is
11 definitely different than the previous three cases where
12 is if you accelerate the RPS by 10 percent, you are
13 going to see a significant drop in emission intensity
14 between the two cases. Because what happens is you're
15 basically just having lower emissions but you're
16 dividing by the same number because, again, emissions
17 intensity is just a simple calculation where the
18 denominator stays the same in that case, as a base case,
19 but the numerator, the emissions are increasing, excuse
20 me, decreasing in that accelerated RPS scenario.

21 And then we can go ahead and put the three
22 electrification scenarios up which are all very close.
23 So, again, we're seeing emissions increase in the
24 electric sector over time with the emission intensity,
25 again, is decreasing and are very much in a similar

1 range.

2 So that's kind of throwing a lot of stuff on one
3 slide for the electric sector but I think it's important
4 to show the grid emissions changing over time for all
5 cases. And then the emission intensity and how they're
6 very similar. But the significant change is with the
7 accelerated RPS. So, again, that's what we have on this
8 slide.

9 The next slide is just the link to the
10 presentation where we go in much detail about how we
11 take PLEXOS simulation results and calculate emissions
12 intensity and overall emissions using those simulation
13 results and some of the inputs that go into there.

14 So please have a look at that presentation and
15 I'm happy to answer any questions offline of that.

16 So thank you.

17 MR. ROSALES: Thank you, Angela. Thank you,
18 Ingrid. That was a great presentation.

19 Okay. Let's go -- Brian, can you queue up --
20 yeah.

21 MS. NEUMANN: I'm sorry, we're not done.

22 MR. ROSALES: Thank you (indiscernible).

23 MS. NEUMANN: No, we're not done.

24 MR. ROSALES: Oh. You call it. Sorry, we'll
25 pull back and then Ingrid, you can take over.

1 MS. NEUMANN: Yeah. Okay. All right. So,
2 let's go in here. Let's see, am I sharing the right
3 screen now?

4 MR. ROSALES: Slide 41 of 54?

5 MS. NEUMANN: Slide 41, yes. No?

6 MR. ROSALES: Yeah, just go in presentation
7 mode.

8 MS. NEUMANN: Let's see, what have I done? It
9 hides my Zoom, then, once the -- let me -- I need to
10 redo it. Okay. Stop share and go back here. Okay.
11 Sorry, we seeing my slide now? Statewide Annual Gas
12 Demand by 2030?

13 MR. ROSALES: Yes, Ingrid.

14 MS. NEUMANN: Okay. Cool. All righty, then.
15 It's Friday. I know we're all ready to be done. Almost
16 there.

17 So, here's the projection of statewide annual
18 gas demand by 2030 for our electrification scenarios.
19 So for each of the electrification scenarios in -- that
20 we use, we use first the 2019 mid-mid AAEE Scenario 3
21 which is the planning forecast used to adjust the 2019
22 mid IEPR baseline cast -- forecast to our business-as-
23 usual before we applied any end use fuel substitution.
24 So, before any electrification efforts were undergone,
25 we adjusted the baseline gas forecast with that

1 additional achievable energy efficiency, our business-
2 as-usual forecast.

3 So, you see that there is some gas displaced by
4 the assumptions of energy efficiency that we have here.
5 But 94 percent of gas consumption still would remain in
6 that 2030 projection, business-as-usual projection.

7 So, in the next -- in the minimal
8 electrification moderate electrification, and aggressive
9 electrification scenarios, of course as expected, we see
10 reductions in those gas consumptions rates. So, we have
11 76 percent of the baseline or business-as-usual. That
12 remains. 62 percent all the way down to 28 percent in
13 our aggressive electrification case. So, a lot of gas
14 end use consumption is displaced.

15 So, it is broken up by the three gas utilities
16 in California. And -- or at least the largest. And we
17 concede that it's also broken up in the residential and
18 commercial sector to it turns out that the gas
19 consumption that we considered displacing is 87 percent
20 of the combined residential and commercial sector end
21 use consumption. That was the amount that we decided
22 (indiscernible) down to a technology level based on
23 available technologies.

24 So, 77 percent of that gas consumption is in the
25 residential sector which is why we see more of that

1 being displaced here in our electrification scenarios in
2 the three columns on the right. 87 percent of the
3 residential consumption that's eligible for
4 electrification is split between HVAC and water heating.
5 And that's similar in the commercial consumption
6 eligible for electrification, that's 84 percent split
7 between HVAC and water heating. So those are the
8 biggest end uses that we considered for electrification.

9 So, for each of the electrification scenarios
10 shown here, they do meet or exceed the AB 3232 target if
11 we're looking at a system-wide GHG baseline. And that
12 means that if we're still providing the same service, so
13 you still have heating in your home or you still have
14 hot water, that means we have to add electric
15 consumption. And this is the incremental electric
16 energy that's added due to these electrification
17 efforts.

18 So, it's not too big in the minimal. Right? It
19 ends up breaking down to being three percent amount of
20 the baseline commercial consumption, that's added on top
21 of it. And the total annual basis in 2030.

22 Then we have for the residential sector, it's
23 nine percent of baseline consumption that's added on
24 top. So, this is just the added or the incremental
25 electricity due to the specific electrification

1 scenario.

2 Of course, it grows the more electrification we
3 apply in each scenario. The 4 percent and 19 percent
4 for the moderate and then all the way up to be adding
5 40 percent of baseline consumption for the residential
6 sector. So what that means is that we would be saying
7 in our business-as-usual our 2030 baseline, we would
8 have a certain amount of electric consumption estimated
9 for our forecast. And we're saying that literally over
10 in that year 2030, we'd be adding 40 percent of that on
11 top of it from this aggressive electrification effort.
12 So that is something to consider when planning.

13 Now what we do see here on the very right in the
14 efficient aggressive electrification scenario is that
15 the percent of incremental electricity added in the
16 residential sector drops down to 31 percent in that
17 scenario. And it's for the same amount of gas being
18 displaced.

19 So that's attractive and that is what really
20 we're looking at and thinking about when we say
21 something like efficient electrification. That we need
22 to be mindful of what electric technologies and their
23 efficiencies that are actually being used to replace gas
24 technologies.

25 So as shown on the previous slide, the

1 aggressive scenario added a total incremental
2 electricity of 47,600 gigawatt hours in 2030. And if we
3 simply change them, mix up technologies to being the
4 most efficient ones, then we actually only need to -- we
5 can reduce the amount of added electricity consumption
6 by 19 percent. So that means that there's 19 percent
7 less incremental electric consumption added in the
8 efficient electrification scenario as compared to the
9 aggressive electrification scenario. And they both
10 displace the same amount of gas.

11 So this is where we start thinking about
12 something other than just, you know, how much is being
13 used on an annual basis but rather when we're using this
14 electricity. Because that matters a lot for electricity
15 planning purposes and system reliability and that sort
16 of thing.

17 So here in this graph we're showing both summer
18 and winter incremental loads for all of the -- for the
19 electrification -- or the aggressive electrification
20 scenario study for the five largest utilities. And then
21 a statewide portion, of course, only for residential and
22 commercial sectors because that's all that we are
23 including in the AB 3232 analysis.

24 What is -- needs to be pointed out here really
25 is that the blue winter columns are larger than the

1 green summer columns. So that means that winter loads
2 increase more than summer loads. And that's in all
3 utilities. It's different amounts depending on where
4 those utilities are located but the winter load
5 increases more than the summer load. We define winter
6 as the four months from November through February and
7 summer as June through the middle of October.

8 Now the full impact of this added energy
9 system -- so the added energy system loads resulting
10 from these electrification efforts can only be assessed
11 when we measure those against the baseline loads and how
12 they might change the baseline loads.

13 So, this is similar to our business-as-usual
14 case where we have various load modifiers like in this
15 mid-mid managed IEPR demand forecast. And we need to do
16 that on an hourly basis then. So, I'm going to walk
17 through that on the next slide here.

18 So on the very last -- and this example is for
19 PG&E. We had in our forecast, we have the hourly loads,
20 the managed hourly loads for all CAISO-managed
21 territories so it was easiest to pick out PG&E here.
22 And we then we'll show you how this may break out
23 between Northern California and Southern California with
24 PG&E as a proxy for Northern California and SCE with
25 SDG&E as a proxy for Southern California and utilities.

1 So here we have our PG&E example. We have the
2 electrification of peak load, so that's the load in the
3 peak hour of that season in 2030, under the aggressive
4 electrification scenario.

5 So, the winter load in dark blue on the left-
6 hand side is bigger than the summer peak load added in
7 green. So, this is the incremental electrification peak
8 load, like when does that peak. Then we have the
9 baseline or business-as-usual peak load without the
10 electrification scenario. And, you know, this is
11 something that should be familiar to all California
12 residents, right, we usually have a summer peaking
13 system so that's when we have worry about weather-
14 related reliability and that sort of thing.

15 So, then we would have -- what we're trying to
16 look at is how does the electrification peak affect the
17 business-as-usual peak because they don't occur at the
18 same time. So you can't just go in and take the dark
19 green incremental electrification bar and place it --
20 and stack it directly on top of the light green summer
21 peak, right, because they're not occurring at the same
22 time.

23 So, for example, if the electrification peak is
24 September 2nd at 6:00 p.m. in PG&E territory in 2030, and
25 our business-as-usual managed peak is at 8:00 p.m. on

1 July 2nd. So, we actually would have to add these on an
2 hourly basis and then find the new total projected peak
3 load which is in the gray shaded columns behind. And
4 it's the same thing here for the winter peaks. And we
5 can also, you might notice that the winter baseline --
6 or business-as-usual peak actually has shifted from
7 6:00 p.m. to 7:00 a.m. and we'll see that a little bit
8 more.

9 So incremental fuel substitution additions are
10 not coincident with managed peak load dates, so the
11 emphasis really has to be on when we have the net or
12 total projected peak load and what that looks like. So,
13 it certainly grows but it does some more important
14 things other than growing, it can actually change the
15 dates and the times of the total projected peak load
16 once we add electrification.

17 So what we need to do -- so the -- for the gray
18 shaded columns is we would find on an hourly basis, once
19 we've added everything on an hourly basis for the
20 electrification impact on top of the baseline, where
21 that new peak is. And that turns out to be July 2nd at
22 5:00 p.m. in the summer and January 3rd at 7:00 a.m. in
23 the winter.

24 So then we could pick out those appropriate
25 amounts here so you can see that the left-hand two

1 columns here, the green column on the top left is bigger
2 than the green column on the bottom left and that's
3 because the electrification peak load occurs at a
4 different time -- or is different in megawatts for that
5 hour than the electrification incremental load added at
6 the total projected peak load. So we determined, right,
7 that the total projected peak load was here at those
8 times in red, in italic red on the right-hand side,
9 July 2nd, 5:00 p.m. for summer; January 3rd at 7:00 a.m.
10 for winter. So, one would have to pick out those
11 incremental electrification load at that total peak
12 load, as well as the business-as-usual at that peak load
13 and then those would correctly fit into these columns.
14 So certainly, the peak load increases, but it's a little
15 trickier than that because everything's time dependent.

16 So, what we see, to summarize, is
17 electrification increases peak loads which grow in
18 magnitude by 2030. So here we're showing the Northern
19 California versus Southern California as the IOUs, using
20 the IOUs as proxy when we see that growing from 2022 to
21 2025 and out to 2030. And we see that in Southern
22 California on the very right-hand side in the winter,
23 there is a significant portion of electricity at --
24 during that peak. So, because those -- so I mean, we
25 can see that that blue incremental amount from

1 electrification is almost as large as 43 percent of that
2 baseline that's being added on there. So, it does a
3 little bit more.

4 We see that those impacts actually become --
5 because they're so sizable and they're not coincident,
6 they actually change the time of the total peak if we
7 include that electrification. So, for example, for PG&E
8 in the winter, the peak has shifted from our business-
9 as-usual case from November 13th at 5:00 p.m., to
10 December 2nd at 6:00 a.m. So, you know, the 13th --
11 November 13th to December 2nd might be a little easier
12 to plan for but there's a fundamental shift in the
13 timing. Right. Instead of having an evening peak, one
14 might have a morning peak, maybe due to space heating.
15 And we also see that -

16 COMMISSIONER MCALLISTER: Ingrid, I'm going to -
17 - I'm going to just jump in real quick. If you could --
18 we're a little bit past time so if you could -

19 MS. NEUMANN: Oh.

20 COMMISSIONER MCALLISTER: -- move forward and
21 wrap it up, please?

22 MS. NEUMANN: I don't credit for finishing
23 earlier on the other one? Not on a Friday afternoon,
24 right? Absolutely, okay. I don't have much.

25 Okay. So and then -- and we see that in the

1 southern utilities as well, right, the peak, it shifts
2 from 6:00 p.m. to 7:00 a.m. So that's something one
3 would have to take into account if pursuing aggressive
4 electrification strategies.

5 So, the last bit that we wanted to present was
6 about load flexibility. Load flexibility was very
7 specifically analyzed as load shift according to the
8 CPUC's definition. We -- so for this analysis in
9 support of AB 3232, we used the LBNL Demand Response
10 Potential Study that was released in summer of 2020.
11 We used those take and shred schedules in order to shift
12 20 percent of hourly end-use demand. We only studied
13 additional load shift potential of newly electrified end
14 uses. And then we further limited that to HVAC and
15 water heating because we thought there were too many
16 behavioral issues with appliances.

17 These were the values on the bottom three rows
18 that staff found for the electrification scenarios when
19 shifting 20 percent of those HVAC and water heating
20 demands and that's in comparison to what LBNL found for
21 commercial HVAC. So, they're pretty conservative
22 estimates.

23 But they still showed significant impact on
24 system reliability, perhaps. We saw that what would --
25 the amount of battery storage that would need to be
26 added without this load shifting effort in that

1 electrification scenario are all the blue columns here
2 for each month in the year 2030. And if we applied the
3 load shift, then those columns were all diminished due
4 to the orange columns -- the shorter orange columns.
5 So, what that means is it reduced the battery storage
6 that needed to be added by 1250 gigawatt hours in 2030.

7 We also looked at renewables and the renewable
8 curtailment that would occur without load shifting is
9 shown here in the blue columns and the renewable
10 curtailment that would occur with load shifting is
11 smaller. So that's good, we're getting to use some more
12 of that renewable energy, and it reduced curtailment by
13 350 gigawatt hours in 2030. And yes, that does assume
14 load shifting every day of the year.

15 So here is some more background material that
16 folks wanted me to share, and I will leave with this
17 slide here. I want to thank you all very much for
18 giving us the opportunity to present our work and we can
19 be reached here for further questions. Nick,
20 especially, our environmental economist, welcomes any
21 questions regarding, especially the costs and GHG
22 impacts. And I am here today. Thank you.

23 COMMISSIONER MCALLISTER: Thanks so much,
24 Ingrid. I really appreciate it. I'm sorry to hurry you
25 along. They're so dense -- so much density to these
26 presentations today and I know people's heads are kind

1 of spinning probably.

2 But please do -- for everyone who's listened
3 in, please do feel free to contact Ingrid and Nick and,
4 you know, we'll try to make sure that -- to, you know,
5 walk you through if that -- as necessary, as needed,
6 right.

7 And so, with that -- so thank you so much,
8 Ingrid. You've carried a large burden today on a
9 Friday, so thank you very much.

10 And thanks to Angela as well, that's super
11 interesting. And we -- you know, as you all can tell,
12 the Commission staff has brought, you know, some pretty,
13 you know, heavy-hitting tools here to this task. And
14 the idea, as we talked about this morning was -- really
15 is to continually be able to, you know, tweak the
16 scenarios, improve them, make them more complete, and
17 change as reality changes as we go forward. So that's
18 why we put, you know, this effort into initial analysis.

19 With that, I think we're ready to -- well, let
20 me ask if Commissioners Gunda and Rechtschaffen have any
21 questions or any comments to make before we move into
22 public comment.

23 COMMISSIONER RECHTSCHAFFEN: Thank you,
24 Commissioner McAllister, I don't have any specific
25 questions at this time.

26 COMMISSIONER MCALLISTER: Great.

1 COMMISSIONER GUNDA: Yeah, Commissioner
2 McAllister, I don't have any questions. But just in a
3 way of comment, again, thank you for this wonderful
4 discussion here. And it's really -- I wanted to kind of
5 call out one specific point on the change in load and
6 the time of the load and kind of winter peak system,
7 potentially.

8 And then the second issue of like just even
9 the summer peak moving to earlier hours again, rather
10 than kind of staying the worst in that peak time. So
11 just really interesting insights that could -- you know,
12 will definitely benefit from further discussion and
13 analysis. Thank you.

14 COMMISSIONER MCALLISTER: Yeah. Thank you
15 very much, Commissioner Gunda.

16 Yeah, it is remarkable and, you know, it's
17 counterintuitive in some ways but California -- much of
18 California has a heating-dominated climate. Even though
19 it gets hot in the summer in the Northern and Central
20 Valley, it's still a heating-dominated climate zone.
21 So, you know, I think we'll continue to get these
22 insights that'll give this rich and the staff keeps
23 working on it.

24 So, with that, I think we can go on to -- we
25 do have a few questions. Maybe we can dispatch with the
26 questions and then go into public comments.

1 MR. ROSALES: Absolutely. Thank you,
2 Commissioner McAllister.

3 Thank you, Ingrid, and Angela, that was a
4 great presentation. I believe the Chair has joined us
5 now. I just -- before I go to the open questions, I
6 want to check in with the Chair. Chair Hochschild has
7 joined us. Welcome, Chair Hochschild.

8 Do you have any comments or questions you'd
9 like to make?

10 (No response heard.)

11 MR. ROSALES: Okay. I don't know if he's on
12 mute, but I'm going to move with the questions and feel
13 free to jump in as we go through.

14 So, it looks like there's only three
15 questions, so I encourage anyone who would like to
16 submit a written question to go ahead and use the Q&A
17 feature on Zoom. If anyone would like to present a live
18 question, please use the raise hand function and we will
19 get to you after we read off the questions here.

20 Ingrid, Angela, if you guys could stand by so
21 I could read off these questions. First one is from an
22 anonymous attendee.

23 For the max life, does residential
24 electrification costs factor into rooftop PV?

25 Ingrid, do you want to take this one?

26 MS. NEUMANN: Yeah. So, I would say no,

1 right, because we're analyzing each of these scenarios
2 independently. So, our impact scenario for PV would not
3 include any electrification; it would only include
4 additional behind-the-meter PV. Whereas electrification
5 scenarios would only include the replacement of gas
6 technologies with various electric technologies.

7 MR. ROSALES: Thank you, Ingrid.

8 I'll go to the second question here. Ingrid,
9 if you could stand by, I think this is referring to your
10 Slide 24.

11 Do you see a different reduction percentage
12 across the three different utilities?

13 And maybe you want -- can you pull up
14 Slide 24, as well, if you have time.

15 MS. NEUMANN: Yeah, let me do that. So, let's
16 see. I have too many screens --

17 MR. ROSALES: And the question is --

18 MS. NEUMANN: -- from --

19 MR. ROSALES: Yeah. And the question is from
20 Calum Chong.

21 MS. NEUMANN: Okay. So is it there?

22 MR. ROSALES: Yes --

23 MS. NEUMANN: Can you see this --

24 MR. ROSALES: -- 24.

25 MS. NEUMANN: Okay, cool.

26 I'm trying to think. So, do we see a

1 different reduction percentage across -- so a different
2 GHG reduction percentage? And I would say we did
3 everything on a proportional basis. So as we get data
4 in for on-the-ground, you know, say electrification
5 programs from all the utilities, then we could like --
6 or at least we're working to build the capacity to be
7 able to analyze those. Right now, our assumptions are
8 uniform statewide. So, if -- you know, if there's a
9 program that causes 100 percent electrification and, you
10 know, 80 percent replace on burnout and PG&E, the same
11 would be true of SCE and so on.

12 So, we wouldn't be able to see those
13 differences because right now it's still rather
14 speculative, you know, what if we did this. Right?
15 There is no actual program -- it's not a forecast of
16 what would look like -- what it would look like with
17 specific programs implemented yet.

18 MR. ROSALES: Thank you, Ingrid.

19 MS. NEUMANN: I hope that at least starts to
20 answer that question.

21 MR. ROSALES: Thank you. And I'm going to
22 stay with the same attendee before I get to the next
23 question.

24 So, Calum is also asking: For the increased
25 peak load, was it assumed that incremental demand will
26 be supplied from renewables in 2030 or only 65 to 70

1 percent renewables?

2 MS. NEUMANN: Yeah. I see Angela Tanghetti
3 would like to answer that and --

4 MS. TANGHETTI: Okay.

5 MS. NEUMANN: -- that's the right person.

6 MS. TANGHETTI: Thank you. Thank you. And
7 the increased peak load -- and I think you're talking
8 about all the electrification cases. And so what we did
9 is we added a mix of resources to meet the RPS first.
10 So when you add a mix of resources, you can have out-of-
11 state renewable resources, and you can have in-state
12 renewable resources, and wind and solar. So, it is a
13 diverse mix and some of them have more impact during the
14 peak than others.

15 And then what we did from there is from a
16 reliability perspective, if the reserve margin was
17 dropped below a certain percent, 15 percent, we did add
18 battery storage. So all the impact of -- to peak, where
19 we added battery storage, also helped meet the increased
20 demand in the winter. So, it was a mix of resources.
21 And it was all the other cases except for that one
22 individual case had 60 percent RPS by 2030.

23 MR. ROSALES: Thank you, Angela.

24 MS. TANGHETTI: Sure.

25 MR. ROSALES: Ingrid, Angela, I think if one
26 of you want to take this next question. It's submitted

1 by Marcus Fink (phonetic). He's asking: Does the
2 negative marginal abatement cost (MAC) for commercial
3 electrification is surprise -- well, the negative MAC
4 for commercial electrification is surprising. Can you
5 provide more details on the assumptions behind this
6 result?

7 Do you want to give a brief response on that?
8 I know we don't have Nick here, but can one of you guys
9 take this one?

10 MS. NEUMANN: Right. I would suspect it has
11 something to do with -- I mean, you put together all of
12 these pieces based off of equipment costs, right,
13 installation costs, and then the gas and electricity
14 rates. So maybe some of that equipment isn't so
15 expensive or the difference isn't so big, or perhaps
16 it's even negative. I mean, that's speculative on my
17 part because I didn't break that down myself.

18 MR. ROSALES: Thank you, Ingrid.

19 Okay. Two more questions. Next one's a big
20 one. It's from an anonymous attendee, so bear with me.

21 What did the cost for the measures, including
22 the renewable gas include; service cost of resource
23 acquisition, extraction, distribution, and any end use
24 equipment first costs, including installation labor
25 costs, and/or life cycle operating costs? And for
26 operating costs, what were the assumptions? 15 years?

1 20 years?

2 And I'll pause there because there's some more
3 but I'll let you -- Ingrid, if you want to sort of
4 address that before we break up the second half of this
5 question.

6 MS. NEUMANN: Yeah, so this might be a good
7 one for an email too. But I would say that we looked at
8 the cost of the actual renewable gas that would go into
9 existing gas pipelines. And I don't believe that one
10 would need, you know, different pipelines or different
11 end use equipment for any of -- for this renewable
12 natural gas, you know, gas system decarbonization
13 scenario.

14 We did do the costs a little bit differently
15 because if you're considering that you're buying this
16 renewable natural gas and putting that into the
17 pipeline, you would have to continuously purchase more
18 gas, so it doesn't really have an existing useful
19 lifetime, it's just on a year-for-year basis. So, we
20 did that cost out to 2030 and also only the emissions
21 reductions out to 2030. Right? Because there was new
22 equipment in that scenario.

23 MR. ROSALES: Ingrid, and the second part of
24 the question is on rates and costs. The question is
25 this: And what were the rates used in any of the
26 assumptions? How were any demand charges or electric --

1 all electric rates or different rate schedules modeled,
2 if any?

3 MS. NEUMANN: Yeah, if any, right? So, we
4 used the rates from the 2019 IEPR forecast. I think
5 there was some discussion earlier about how some of
6 these rates might change with rulemakings or how they
7 might be changed to encourage all electric and -- but we
8 didn't model that, per se.

9 MR. ROSALES: Thank you, Ingrid.

10 All right. The next question here is from
11 Evelyn Loya. She's asking: Since projected annual gas
12 demand decreases, how did you model the PVAC loop of
13 electrifying consumers -- of customers, excuse me? And
14 how that affects customer costs in the gas system when
15 the cost of maintaining gas system are distributed?

16 I think you kind of touched on that right now,
17 but Ingrid, do you want to follow-up on this?

18 MS. NEUMANN: Well those are the million-
19 dollar questions, right? And that's I think why this --
20 or part of the reason why this is also an equity
21 concern. Right? Not just the cost of electrification,
22 but -- and that perhaps not everyone would be able to
23 access that, but then also for the customers that are
24 stranded using gas because they didn't electrify, do
25 their rates go up, right? Because there are those
26 stranded costs for the utilities and how is that going

1 to be dealt with. And again, I think that's something
2 that all the agencies are working on right now and
3 considering.

4 MR. ROSALES: The last question I see posted
5 here, Ingrid -- thank you for that answer by the way --
6 is also from an anonymous attendee.

7 Renewable gas cost rates would be higher than
8 regular natural gas for consumers -- and they're saying
9 right, so just checking in with us.

10 MS. NEUMANN: I -- yes, I mean, renewable gas
11 is a lot more expensive than fossil gas. I mean, it
12 comes with the benefit of reducing GHGs. I mean,
13 personally I'm thinking of it as recycled gas. Right?
14 But yes, it is much more expensive and that's totally
15 what you see in the cost per ton.

16 MR. ROSALES: Thank you, Ingrid.

17 That finishes up all the questions. There was
18 a comment from Michael Jonae (phonetic), excuse me,
19 asking if the slides are going to be made available.
20 So, thank you for that question and for everybody
21 attending, yes, the presentation slides will go up on
22 the docket -- the Decarbonization docket and they will
23 be noticed to all the LISTSERVers that are associated.

24 That -- this seems like this is a good wrap up
25 for the Q&A. If any questions come in or if there's any
26 raised hands, we will take them. But at this point, I'm

1 going to pause and I'm going to turn back to
2 Commissioner McAllister for closing remarks.

3 Commissioner, if you're on.

4 COMMISSIONER McALLISTER: Great. Let me first
5 ask my colleagues on the dais if they have any wrap up
6 comments, and then I'll -- I'll shut us down after that.

7 COMMISSIONER RECHTSCHAFFEN: I don't have any
8 substantive comments. I appreciate the rigor, care, and
9 thoughtfulness of both the report and the presentations
10 today. It was great to have Ingrid and others walk
11 through so carefully and deliberately.

12 I, for one, am always struggling to keep up
13 with the presentations which race through technical
14 issues and assumptions and jargon and I valued and
15 appreciated that today's presentation allowed time to --
16 for the presenters to go through more systematically and
17 slowly. So, I thank you and commend you for that.

18 But I look forward to our continued work on
19 this and discussions; more work in the IEPR more work in
20 our own proceedings. And just a great thanks to staff
21 for your presentations and all your work today.

22 COMMISSIONER McALLISTER: Thank you very much,
23 Commissioner Rechtschaffen. And thanks for sticking it
24 out the whole day. You're a champ.

25 COMMISSIONER RECHTSCHAFFEN: Where else would
26 I rather be? What are you talking about?

1 COMMISSIONER MCALLISTER: Yeah. But let me --
2 you know, I was reminded by a comment here that we
3 probably need to just ask for straight public comment.
4 You know, we've had a lot of interaction with
5 stakeholders, which is great on a topic like this and --
6 but I think we do need to have just straight public
7 comment.

8 So if anybody wants to make a public comment
9 about this, the workshop, the report, topic, now would
10 be your chance, I think.

11 Maybe we should -- unless Commissioner Gunda,
12 do you want to make some wrap up comments before we
13 listen to public comment or would you like to wait until
14 after?

15 COMMISSIONER GUNDA: I was just going to --
16 you know, I don't have much to add. I would just say
17 thank you to the team and (indiscernible) team, this is
18 really, really helpful workshop and I will follow up.

19 And thanks to Commissioner Rechtschaffen for
20 his interest in collaborating and continuing this
21 conversation across the many proceedings that he is
22 working on, so. And thank you, Commissioner McAllister,
23 for your leadership and Commissioner Rechtschaffen, for
24 your partnership and the entire awesome staff. So,
25 thank you.

26 COMMISSIONER MCALLISTER: Yes, so while that

1 comment -- if anybody wants to raise their hand to just
2 do a straight comment or otherwise signal to staff.
3 I'll just remind you that stakeholder comments, the
4 deadline for the on the staff draft is June 4th. And
5 then we'll have a look at every comment that comes in
6 and modify the report as necessary in order to get the
7 final off to the legislature. So looking forward to
8 reading what people had to say about this and about
9 the -- yeah, just about the topic.

10 This is -- this topic reaches across many,
11 many areas in both commissions really and across the
12 state actually, even into the housing agencies and other
13 agencies. So, it's vitally important and you asked
14 already a bunch of good questions, those of you who've
15 been on the chat and the Q&A. So thank you for those
16 and keep them coming.

17 I don't see any straight comment, so I think
18 with that, we will -- so I will just make my final
19 comments and we'll just wrap up.

20 So, thanks, Eddie for emceeding us today and
21 all the staff for -- especially Ingrid for really
22 shouldering much of the presentation burden today. I
23 want to also just recognize Nick Janusch for the really
24 phenomenal analysis that he led in the Assessments
25 Division.

26 And then I want to encourage people to look at

1 the acknowledgments page of the report as well because
2 there are a bunch of staff advisors at the -- and
3 advisors at the Commission and elsewhere actually that
4 participated in this, and sort of helped inform and
5 certainly the Commission staff write this draft.

6 And we had a workshop more than a year ago to
7 kind of kick this off, actually, and ever since then
8 there's just been a lot of work and good faith effort.
9 So, I want to just thank everybody on that list of
10 participants.

11 And yeah so, I think with that, I don't have
12 anything to add, I just want to thank everybody for
13 being with us today, both in the morning and in the
14 afternoon. We -- please pay attention to the IEPR
15 docket and the schedule as workshops get fleshed out and
16 get posted. We will have more about this. Yesterday we
17 had a workshop with the IEPR about natural gas and some
18 of these themes also came up there.

19 So, you know, I think there are just a lot of
20 forums here for people to both learn and to be heard.
21 And so that's really what we're here for as state
22 agencies and public servants just to make sure that that
23 happens and that we have for that to take place. And
24 so, your input is really the lifeblood of the process.
25 So thanks, everyone, for being here.

26 And with that, if there's nothing else, I

1 think --

2 MR. ROSALES: Commissioner, I'm going to --

3 COMMISSIONER MCALLISTER: All right.

4 MR. ROSALES: Looks like there's one --

5 COMMISSIONER MCALLISTER: There's one hand
6 raised, right?

7 MR. ROSALES: Ingrid took care of that
8 question and she wrote the response, so she addressed
9 that.

10 COMMISSIONER MCALLISTER: Right.

11 COMMISSIONER GUNDA: There might have been one
12 raised ahead in the loop. I think it was CEC Zoom
13 Number 1, I see them at the top. A hand raised right
14 now. A comment.

15 MS. ROBINSON: Hey, sorry.

16 MR. ROSALES: Okay.

17 MS. ROBINSON: Taylor Robinson on behalf of
18 the Building Decarbonization Coalition. I just wanted
19 to thank the Energy Commission for all of its hard work
20 on this assessment and today's workshop.

21 You know, the data in this report and
22 assessment is clear and confirms the findings of past
23 studies that, you know, basically say the state needs to
24 move off of the gas in buildings to meet its climate
25 goals. And I just -- I think the state needs to be
26 clear about this and set a schedule so the market can

1 begin to adjust.

2 So thank you so much and look forward to
3 continued discussions.

4 COMMISSIONER MCALLISTER: Great. Thank you
5 very much for being here. We appreciate that.

6 I -- do we see any other -- does anyone see
7 any other raised hands?

8 COMMISSIONER GUNDA: This is another hand,
9 Kristi Chu. I'm not sure if --

10 COMMISSIONER MCALLISTER: Let me see here.

11 COMMISSIONER GUNDA: Okay. It's raised down.
12 I think it was accident. We're good.

13 COMMISSIONER MCALLISTER: Oh great, okay. Oh,
14 there we go, I'm seeing it.

15 I also see Gabe Taylor there, but I think he's
16 been on the back end answering questions. So yeah.

17 So, with that I think we'll call it a day.
18 Thank you all for your perseverance and your stamina.
19 And please do get us your comments by June 4th and that
20 will really help us get this thing across the finish
21 line. And really, I think it's going -- it will be a
22 kind of foundational document for how we need to move
23 our building stock forward, or at least telling the
24 legislature what they asked us with AB 3232. You know,
25 that's really what this report was -- is for is to
26 inform the legislature about what it would take to get

1 to 40 percent, below 1990 levels, by 2030.

2 So, you know, hopefully they will see this as
3 a job well done and be able to use it for policymaking
4 in their forum. So thank you very much and looking
5 forward to the next opportunity. Thanks, everyone.

6 MR. ROSALES: Thank you, Commissioner.

7 Thank you, (indiscernible.)

8 Brian, can you put up Slide 6, just so I can
9 sign everyone off with the reminder of when comments are
10 due?

11 So thank you, everyone, for attending the
12 workshop today. Before you dismiss yourself, I just
13 want to remind everyone that the deadline for submitting
14 written comments to the staff draft is Friday, June 4th,
15 so it's two weeks from today.

16 With that, I want to thank all the
17 Commissioners for their participation and their
18 attendance and their leadership on this project. Thank
19 you, everyone who's attended today and for your
20 participation. Reminder, the docket for this workshop
21 is 19-DECARB-01.

22 With that, this workshop is now adjourned.
23 Have a good weekend.

24 (Adjourned at 3:47 p.m.)

25