

DOCKETED

Docket Number:	21-BSTD-01
Project Title:	2022 Energy Code Update Rulemaking
TN #:	238864
Document Title:	Transcript of May 24, 2021 for Lead Commissioner Hearing
Description:	N/A
Filer:	Amber Beck
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/14/2021 4:07:21 PM
Docketed Date:	7/14/2021

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of:)
) Docket No. 21-BSTD-01
2022 Building Energy Efficiency)
Standards (2022 Energy Code))

LEAD COMMISSIONER HEARING
2022 BUILDING ENERGY EFFICIENCY STANDARDS
(TITLE 24, PART 1 AND PART 6)

REMOTE ACCESS ONLY

WARREN-ALQUIST STATE ENERGY BUILDING
1516 NINTH STREET
1ST FLOOR, ARTHUR ROSENFELD HEARING ROOM
SACRAMENTO, CALIFORNIA 95814

MONDAY, MAY 24, 2021

9:03 A.M.

Reported By:
Martha Nelson

APPEARANCES

Commissioner

Andrew McAllister, Lead Commissioner

Staff Present

Payam Bozorgchami

Maziar Shirakh, Building Decarbonization Lead

Danny Tam, Mechanical Engineer

Peter Strait

Bill Pennington, Senior Technical and Program Advisor

Ronald Balneg, Building Standards Office

James Oaqundah

Simon Lee, P.E., Electrical Engineer

Adrian Ownby

Haile Bucaneg, Building Standards Office

Tim Minezaki

Bryan Boyce

Bennie (No last name), Statewide Case Team

Public Comment

Bob Gunn, Synergy

Ann Harvey, Retired Family Doctor

Cynthia Mahoney, Climate Health Now

Laura Neish, 350 Bay Area

Benjamin Davis, California Solar and Storage Association

Stephanie Morris, Mothers Out Front Silicon Valley

Robert Gould, President, San Francisco Bay Physicians
for Social Responsibility

Mary Dateo, Carbon Free Mountain View

David Moller, Climate Reality Project, Bay Area

Pierre Delforge, National Resources Defense Council

Ronni Solman, So Cal 350 Climate Action

Sven Thesen, Sven Thesen & Associates

Christy Zamani, Executive Director, Day One

Jenny Green, Mothers Out Front

Helena Birecki, Climate Energy Coalition

Jackie Garcia Mann, 350 Contra Costa

Sam Jammal, Schlegel & Associates

Jonny Kocher, Rocky Mountain Institute

Kat Selm, Canejo Climate Coalition

Lauren Collum, Sierra Club California

Elena Engel, 350 San Francisco

Paul Wermer, San Francisco Climate Emergency Coalition

APPEARANCES (Cont.)

Public Comment (Cont.)

Elise Kalfayan, Glendale Environmental Coalition
Wes Reutimann, Active San Gabriel Valley
Mark Roest, Sustainable Energy, Inc.
Bob Raymer, California Building Industry Association
Rose Ann Witt, Conejo Climate Coalition
Barend Venter, Blue Sky Utility
Jacob Cassady, Association of Home Appliance
Manufacturers
David Freedman, Palm Springs Sustainability Commission
Josie Gaillard, Menlo Park Environmental Quality
Commission
Al Sattler (Phonetic)
Marissa O'Connor, Sacramento Municipal Utility District
Rick Umoff, Solar Energy Industries Association
Nehemiah Stone, Stone Energy Associates
Hillary Weitze, Red Car Analytics
Sarah Schneider
Laura Petrillo-Groh, Air Conditioning, Heating and
Refrigeration Institute

INDEX

	Page
Introduction	6
General Structure of Workshop	
Commissioner McAllister	
Payam Bozorgchami	
Mandatory	27
Section 150.0(n), (s) Through (v), Energy Storage Systems Ready and Electric Ready	
Section 160.9, Electric Ready Buildings	
Mazi Shirakh	
Danny Tam	
Prescriptive	
Section 140.4(a)2, Nonresidential Single Zone Space Conditioning System Types	
Section 140.5, Service Water Heating Systems	
Section 140.10, Nonresidential PV and Battery Storage Systems.	
Section 150.1(c)7, Residential Space Heating & Space Cooling	
Section 150.1(c)8, Residential Domestic Water Heating Systems.	
Section 150.1(c)14, Residential PV Requirements	
Section 170.2(c)3A, Dwelling Unit Space Conditioning Systems Heating System Type	
Mazi Shirakh	
Danny Tam	
Lunch Break	
Title 24, Part 1, Administrative Regulations	139
Section 10-115 - Community Shared Solar Electric Generation System or Community Shared Battery Storage System Compliance Option for On-Site Solar Electric Generation or Battery Storage Requirements	
Bill Pennington	
Subchapter 3, Nonresidential, Hotel/Motel Occupancies, and Covered Processes - Mandatory Requirements - Ronald Balneg	165

INDEX (Cont.)

	Page
Subchapter 4, Nonresidential and Hotel/Motel Occupancies - Mandatory Requirements for Lighting Systems and Equipment, and Electric Power Distribution Systems. Simon Lee Thao Chau	174
Subchapter 5, Nonresidential and Hotel/Motel Occupancies - Performance and Prescriptive Compliance Approaches for Achieving Energy Efficiency (<u>Excluding Sections 140.4(a)2, 140.5 and 140.10</u>) Haile Bucaneg	183
Break	
Subchapter 6, Nonresidential and Hotel/Motel Occupancies - Additions, Alterations, and Repairs Haile Bucaneg	199
Public Comments	
Adjournment	220
Reporter's Certificate	221
Transcriber's Certificate	222

P R O C E E D I N G S

1

2 MAY 24, 2021

3 9:03 A.M.

4 MR. BOZORGCHAMI: So, good morning everyone.

5 Apologize, a minor technical difficulty here. My name

6 is Payam Bozorgchami, Project Manager of the 2022

7 Building Energy Efficiency Standards.

8 Let's start the workshop by -- I want to

9 welcome, new to the Energy Commission, virtually,

10 Commissioner Hearings for the upcoming California Energy

11 Code. The Lead Commissioner overseeing the work that is

12 being done for the 2022 Energy Code is Commissioner

13 Andrew McAllister, and he's participating today in this

14 hearing.

15 This hearing is one of three hearings that are

16 going to be held this week on the 45-day express terms

17 where we would like to receive your comments regarding

18 the proposed languages for Part 1 and Part 6 of Title

19 24.

20 In these hearings we will not be discussion the

21 Environmental Impact Report. Later in my presentation I

22 will provide you with the docket number and the email

23 link, if you folks would like to make comments on or

24 have questions regarding the Environmental Impact

25 Report.

1 Let's start first with some housekeeping rules.
2 We will be muting everyone. And after each proposed
3 subchapter is presented you can either raise your hand
4 and we will unmute you or you can submit your questions
5 in the Q&A window. And we will have a group of
6 panelists who will try to answer your question as they
7 come in.

8 We will have Peter Strait, who will be reading
9 out the questions in the Q&A so that everybody could
10 participate and hear the answer at the same time.

11 Also, if you are participating by phone you can
12 use *9 to raise your hand and *6 to mute and unmute
13 yourself.

14 One important thing to remember is that when we
15 do unmute you, you also need to unmute yourself from
16 your end. And please state your name and who you're
17 affiliated with. This workshop is being recorded and it
18 will be transcribed. And by stating your name and
19 affiliation we can figure out who we need to reach out
20 to for further discussion, if needed.

21 Also, we are going to implement the 3-minute
22 rule today and we're asking for one speaker per
23 organization to provide comments. But depending on the
24 number of commenters who would like to comment, we may
25 actually need to shorten that time period maybe down to

1 two minutes -- excuse me -- so that we could get through
2 everyone's comments and get through the presentations
3 today.

4 This is a long -- this is going to be a long
5 day. I think we're going to go all the way to 5:30 and
6 just want to be respectful for everybody's time.

7 Before we start, Commissioner would you like to
8 give a few words?

9 COMMISSIONER MCALLISTER: Indeed I would. thank
10 you Payam, I really appreciate that.

11 One note, I just saw just now, actually a couple
12 of minutes ago, Russ King put a comment that said he was
13 having trouble with the link, and then he actually had
14 to go to zoom.com and enter the meeting number and
15 passcode. So, I'm not sure about that link, you might
16 want to update that.

17 MR. BOZORGCHAMI: Yeah, I think Tajanay
18 (phonetic) and Amber are looking into that right now,
19 sir.

20 COMMISSIONER MCALLISTER: Okay. Okay, great.
21 Well, so if -- let's keep an eye on the participant
22 numbers and just if they spike up after we update that,
23 I think we should maybe consider, you know, just giving
24 folks a rundown of what's already happened before they
25 joined.

1 But in any case, thank you for that intro Payam.
2 I have to say, I have been looking forward to this
3 week's hearings for quite a long time. I'm sure many of
4 the folks on today, so far, that will be listening in
5 throughout the course of today, and Thursday, and Friday
6 also have been really anxious to have this discussion in
7 the formal rulemaking process. And so, we're now in 45-
8 day language. The formal rulemaking is open and in
9 process. And it's really key that folks, you know, pay
10 attention to the details.

11 And I just wanted to make a few comments,
12 general comments and then a few specific ones. So,
13 thanks to you, Payam, to all the staff that's been
14 marshaling this. And it's a huge, more than a village
15 effort. It's really, you know, a fundamental
16 responsibility of the Energy Commission. It's one of
17 the reasons the Energy Commission was formed in the
18 first place to promote Building Energy Efficiency
19 Standards. It's in our original statute, in the Warren-
20 Alquist Act. And it really has moved the needle in
21 terms of minimum standards for building technologies and
22 construction practices over the course of more than four
23 decades.

24 So, that's the context that we're operating in
25 here today. We're updating a set of regulations that

1 already has I'd say a global leadership position in
2 improving the performance of our building stock.

3 So, you'll see a list of some of the key staff
4 throughout, who've been involved throughout the
5 development of this Building Code update, of the
6 Building Energy Efficiency Standards update. But just
7 know it really was a much, much bigger team and that
8 we're still very much paying attention. There's a lot
9 of things to be done. Every single comment that comes
10 in has to be answered adequately. And so, that is still
11 on our plate to do and we will dot all those I's and
12 cross all those T's.

13 And to all the stakeholders out there, you know,
14 you have been an incredible resource to improve,
15 develop, deepen and specify these Building Energy
16 Efficiency Standards, the proposal that's in front of us
17 today. And the process has been very extensive. You
18 know, over the last couple of years, really we've gotten
19 I'd say close to a thousand comments already. We've had
20 dozens of workshops, and meetings, and different forums,
21 many dozens, and made a lot of revisions in response to
22 those comments. And so, you know, please keep doing
23 that. That's really the lifeblood of this process. And
24 I just encourage everyone to submit their written
25 comments, particularly.

1 Obviously, we can have a little bit of
2 interaction about specific technical issues and things
3 during the course of these hearings but, really, there's
4 no substitute for having written comments. And I would
5 just encourage everyone to get those in as soon as
6 possible. There is a comment deadline, but the sooner
7 those comments come in the more quickly, you know, the
8 higher they'll be on the priority list. Or at least,
9 you know, they kind of come in and we deal with them as
10 they come in. So, the sooner they come in, the more
11 fully and immediately they can get resolved.

12 And so, I just want to encourage people to get
13 your specific comments in as soon as you possibly can.

14 We scheduled these hearings relatively early on
15 in the 45-day language period for that reason, to give
16 plenty of time for people to develop their considered
17 comments. And so that you don't -- you know, anyone
18 who wants to submit a comment doesn't wait until the
19 last day. We really want to encourage those comments to
20 come in soon.

21 You know, it is a complex Building Code. In
22 California, you know, part of the impact of leading on
23 this issue is that we're always looking for
24 opportunities to push the envelope. And that means that
25 we're -- we often have to do specific things for

1 specific building sectors, and specific, you know, types
2 of end uses. And so, that requires a lot of back and
3 forth to really find where those opportunities are and
4 take advantage of them as much as we can.

5 And so, that's part of the driver of the complex
6 nature of the Building Code. Certainly Part 6 and Part
7 1, but primarily Part 6 that the Energy Commission
8 develops. And so, it's really important to get all
9 those details right because the marketplace depends on
10 our getting them right. So, I just want to again
11 encourage folks to, you know, submit early and then be
12 open to a little bit of back and forth, if that's
13 needed, to dial in where the code details land.

14 We're pivoting California toward the
15 technology, towards a set of technologies that we will
16 depend on to decarbonize our building stock for the long
17 term. And so, that's really a big change or that's the
18 main kind of innovation, I think, that this Building
19 Code is signaling.

20 The '19 update, the 2019 update took a
21 monumental step. It dial in and improve a lot of
22 efficiency qualities and characteristics of new
23 construction and, you know, alterations. And so,
24 certainly don't want to minimize that. But the
25 requirement that low-rise and single-family residential

1 have small solar systems, open compliance credit to
2 battery systems, and some of the other elements of that,
3 of the 2019 Code update really did push carbon
4 reductions. It resulted in great carbon reductions from
5 our building stock.

6 And this code update continues, you know,
7 leveraging -- you know, we got huge carbon reductions
8 from 2019, so the new buildings coming in really are
9 highly carbon efficient.

10 And now what we're doing is sort of taking
11 advantage of those innovations in the 2019 code update
12 and pivoting more towards electric technologies.
13 Because we know that that is a primary strategy for
14 decarbonizing our building stock for the long term.

15 So, that's sort of a context for this code
16 update. You know, really like Wayne Gretzky said, you
17 know, you put the puck -- you know, really great players
18 -- good players go to where they think the puck is and
19 great players go to where the puck is going to be. And
20 so, we're trying to make the Building Code, you know,
21 shoot toward where we know we have to be in the long
22 term and really push the marketplace to develop
23 technologies, get them more accessible, that supply
24 chain open, and that supply pipe big for these
25 technologies so that we can really scale up, and get the

1 costs down, and do it in an equitable, energy efficient
2 manner.

3 So again, this is an Energy Efficiency Code,
4 right, so anything that is inherently more efficient is
5 going to do well in terms of keeping a building within
6 its energy budget.

7 So, I wanted to just -- so, the big picture
8 here, you know, is that we are trying to decarbonize
9 across our whole economy. And so, you know, we have
10 aggressive goals for carbon. You know, we may -- sort
11 of 2045 we're trying to, as you all probably know, get
12 to zero carbon electric system, but it may actually
13 happen -- I think it's likely it will happen quicker
14 than that as markets develop and costs continue to
15 decline for all low-carbon technologies, including
16 storage options.

17 You know, and the Building Energy Efficiency
18 Standards is one key element of that decarbonization.
19 As we decrease the energy requirement of our building
20 stock, we decrease the scale of the endeavor of the
21 enterprise to decarbonize our energy systems as a whole.
22 So, building efficiency and load flexibility, which is a
23 relatively newcomer to this, you know to the modern
24 digital economy and I think it's really exciting. Those
25 two things are still at the top of the loading order,

1 energy efficiency and demand response. And the new
2 version, the modern version of demand response is really
3 load flexibility, digitized energy flexibility and those
4 are still at the very top of California's priorities for
5 energy, for clean energy.

6 So, I think what we're doing here in that
7 context is really the -- among the most important things
8 that we can do in California that we have authority
9 around as a state.

10 So, Appliance Standards now for energy
11 efficiency, which you all know about, and for load
12 flexibility actually we have new authority to do that
13 within our appliances that complements these Building
14 Standards very well.

15 Load Management Standards is sort of the third
16 standards of the triumvirate of buildings, appliances
17 and load management that is also stepping into its role,
18 I think coming into its heyday, really, as a solution
19 for not only decarbonization, but also enhanced
20 reliability and cost management equity.

21 So, you know, I think we're really starting to
22 fire on all cylinders in terms of using all of our
23 authority to pivot our buildings, and our appliances,
24 and our end uses toward low carbon for the future.

25 We also have a significant R&D portfolio that's

1 focused on these issues. We're funding a lot on all of
2 the above, including flexibility now, recently. And we,
3 along with the PUC and the Air Resources Board, operate
4 a number of programs. Like Build Program, like the SB
5 1477, and yeah, that's the Build Program and AB 841,
6 which is targeted at schools. So, those programs.
7 Vehicles are really key I think to beginning. You know,
8 we need a lot of resources here, so programs are meant
9 to really orient the marketplace and get experience so
10 that that scale up can happen.

11 But we definitely are targeting, you know,
12 longer term efforts that have sustained funding. So, if
13 we get federal funding, you know, there's a lot of
14 places we can use that to pivot our existing building
15 stock for sure, but also support these market
16 developments that we're talking about.

17 So, this is just context that I wanted to lay
18 out before our first day of the three days of hearings.
19 Because, just to put it in context, you know, what we're
20 doing here is really important. And so, I want to just
21 highlight that gravitas and thank everyone for being
22 here. And, hopefully, you'll participate robustly not
23 only this week, but also with your written comments.

24 And again, as Payam said, if we have just a huge
25 number of comments, just because there's only so many

1 seconds in the day, we'll start out at three minutes
2 but, you know, if there are lots of comments we might
3 have to go to two. And if there are just a huge number
4 of comments, we'll go to one minute. But, you know,
5 hopefully -- we don't usually have to do that, but time
6 management kind of dictates that depending on the volume
7 of comments we might have to.

8 So, anyway, just encourage everyone to chime in.
9 And as Payam said, you know, one person per
10 organization. And also, we just encourage that if the
11 points that you want to make have already been made,
12 then it's sort of expeditious, more expeditious to say I
13 agree with so and so, or I want to second the point that
14 was made about whatever.

15 So, I think, you know, we want all your
16 comments. We want to know what everybody wants to
17 contribute. But we also want to avoid redundancy just
18 for time management purposes. So, I'd really appreciate
19 people being attentive to those needs, of just our
20 format here today.

21 So again, this is about Part 6 and Part 1. The
22 Environmental Impact Report is out now, it is public, so
23 people can look at that and then engage in that process.
24 But it is a separate project -- or process, rather,
25 about the Environmental Impact Report. And, obviously,

1 also an important set of issues but different from what
2 we're talking about today, which is the particulars of
3 the 45-day language, the express terms of Part 6 and
4 Part 1.

5 So, with that I want to just, again, thank
6 everyone, thank staff, and thank all of our
7 stakeholders, you know, that are here today and have
8 contributed over the months and years leading up to
9 today. And then, hope and encourage everyone will
10 continue to contribute until we really get through the
11 45-day languages, and then onwards as we move toward
12 adoption which we're ending in August, at the August
13 Business Meeting. And then, as we move toward the
14 development of the implementation details, right, all of
15 the compliance manuals and all of those further details
16 after the actual regulations have been adopted.

17 So, lots to come here, but I think today and
18 this week is really an auspicious moment to take stock
19 of where we are and to kind of recommit to making these
20 regulations work as best they can for each project that
21 they touch, and for the State of California, over the
22 long term as we decarbonize our buildings and our
23 economy.

24 So, I want to again thank everybody for being
25 here and turn the mic back over to Payam.

1 MR. BOZORGCHAMI: Thank you, Commissioner.

2 Folks, I just wanted to give you guys a quick
3 update. I guess we're having a little bit of a
4 difficulty with the Zoom link that's on the notice. But
5 if you take -- if your colleagues would like to take the
6 meeting number and the password, and go to the Zoom
7 website itself and place it there, the system will work.
8 So, if you have an opportunity, please pass that along
9 to your members. Thank you.

10 So, what are we going to cover today? We will
11 cover heat pump water heating, heat pump space heating,
12 photovoltaic commerce, plus battery storage this
13 morning. Then, we will do a quick time check and see if
14 we have time to go to the next topic or should we take a
15 lunch break.

16 Unfortunately, we've got a lot to cover and so
17 we're going to do about a 30-minute lunch break today.
18 And after that we're going to be going into -- like I
19 said, after the time check we'll decide if we're going
20 to do the community-shared solar or electric generation
21 system commerce in Part 1, or sooner than lunch, or
22 maybe after lunch.

23 Then, we'll do the nonresidential hotel/motel
24 occupancy measures. Those are the mandatory mechanical
25 systems, the mandatory lighting, and lighting equipment

1 systems, the performance and prescriptive compliance
2 approaches, and additions, and alterations, and repairs.

3 I'm hoping we get done before 5:30, but 5:30 is
4 our target. Hopefully, we can meet that ahead of 5:30
5 or we may have to go a little bit longer.

6 Unfortunately, we only have three days and I don't have
7 a fourth day, so we have to finish what's on the agenda
8 today.

9 With that, also just want to remind everybody
10 that for this code cycle one of the biggest, major
11 change that we did to the Energy Code is we separated
12 out multifamily from both low-rise residential and
13 nonresidential building sections. Now, the multifamily,
14 high-rise, and also low-rise family have their own
15 separate sections, the 160, 170, 180s, which we will be
16 presenting that on Thursday, the 27th, in the afternoon.
17 Javier Perez will be presenting on that.

18 So, with that let me start quickly with a quick
19 history of how all this started. Two California
20 Assemblymen, Charles Warren and Al Alquist coauthored
21 what's known today as the Warren-Alquist Act. This act
22 gives authority to the Energy Commission to develop the
23 Energy Codes on a triennial basis, and local
24 jurisdictions to enforce the Energy Code through the
25 building permit process.

1 The Energy Code is developed to reduce wasteful,
2 uneconomic, inefficient and unnecessary consumption of
3 energy. This act was signed into law in 1974 by
4 Governor Ronald Reagan. And Governor -- and the Energy
5 Commission was launched by Governor Jerry Brown in 1975.

6 With the appointment of the first five
7 Commissioners, the Commission immediately set out to
8 meet the extensive mandates of the Warren-Alquist Act,
9 including the adoption of the first Building Energy
10 Efficiency Standards that went into effect in 1978. I'm
11 sounding like a historian here, but that's how it all
12 started.

13 There's other -- other goals that have recently
14 been bestowed on us here at the Energy Commission.
15 Through the Energy Code, we need to consider reduction
16 of greenhouse gases. We need to look at other measures,
17 demand flexibility, self-utilization of PV and
18 generation, and looking at reducing residential
19 buildings impact on the electricity grid.

20 So, we're looking at a lot of other areas that
21 we never did in the past. So, as Commissioner
22 McAllister said, the 2022 standards are going to be very
23 important as we go forward.

24 As you know -- I have to bring this up because a
25 lot people who work in other parts of the country, they

1 look at California based on the IECC climate data, which
2 has, I think, California in seven climate zones, which
3 really doesn't work for us here in California.

4 And the IECC has Death Valley in the same
5 climate zone as they do in Sacramento, in Climate Zone
6 3, where we know that the hottest part of the country is
7 not the same and doesn't have the same cooling load or
8 the heating load as we do here in Sacramento.

9 So, for us at the California Energy Commission,
10 we looked at the heating degree days and cooling degree
11 days from the beginning. And we decided that, all
12 right, now, the 16 climate zones are sufficient and
13 they're a little bit different than what IECC has.

14 You folks, I get calls on this all the time and
15 I just wanted to make sure that we're clear on this
16 during the workshops as we go forward.

17 Staff, with the help of our consultants and
18 utility partners, Pacific Gas & Electric, Southern
19 California Edison, San Diego Gas and Electric,
20 Sacramento Municipal Utility District, Los Angeles
21 Department of Water and Power who, with their
22 consultants help support our efforts in moving the
23 measure for 2022 forward.

24 For this code cycle, the utilities sponsored 25
25 workshops where they presented the proposals that they

1 will be making to the Energy Commission for public
2 feedback. And the Energy Commission staff had 18 staff
3 workshops during our pre-rulemaking sessions, where we
4 proposed what we're going to be presenting for the 2022
5 Energy Codes.

6 Meanwhile, we also had two entities, the
7 California Energy Alliance and a company named Vertiv,
8 who also submitted a proposed (indiscernible) for us to
9 consider for the 2022 standards.

10 I also, now, would personally like to thank
11 Alanna Torres, Heidi Werner from Energy Solutions, and
12 Kelly Cunningham from PG&E who really did a fabulous job
13 in keeping the coordination for the pre-rulemaking, the
14 continuous support throughout the release of the express
15 terms and the 45-day language. They were tremendous in
16 keeping us alive and keeping the process moving forward.

17 Everything that we are presenting today did go
18 through a vigorous lifecycle cost analyzing using the
19 latest TDV. And we updated TDV this code cycle and we
20 had those workshops earlier on in 2020 and we had, I
21 believe, two workshops on those to show very -- cost
22 effectiveness, and the cost effectiveness has to be to
23 the building owner.

24 Here's our current schedule as we move forward
25 with our hearings. Currently May 24th, 27th and 28th

1 are the Lead Commissioner hearings for the 45-day
2 language. We're hoping that we get your comments and
3 questions sooner than the due date of June 21st. We
4 have a lot to do and a lot to consider, and we just want
5 to make sure that we get the right message, the right
6 standards out for public to implement and through the
7 Building Standards by January 1st, 2023. And meanwhile,
8 we will still be working on the compliance manual,
9 electronic documents, and the computer programming. So,
10 those will be available for you folks to use, too, for
11 meeting the energy codes.

12 Earlier on I talked about the Environmental
13 Impact Report and how that's not going to be presented
14 today or the next two hearings, also. If you're
15 interested in the Environmental Impact Report, here's
16 the link below. And the Docket Number 21-BSTD-02.
17 That's a separate document, separate entity, a separate
18 set of staff that are working on those. If you're
19 concerned, that's the link that you would like to use to
20 obtain a copy of the impact report or provide comments,
21 and questions, too.

22 The BSTD-01 is what's to be used for our
23 workshop -- excuse me, I keep calling it workshop.
24 These are hearings. I apologize. The 21-BSTD-01 are
25 the ones that we would like you to use to submit your

1 comments to. And you can also go to that website and
2 obtain a copy of the set of standards, reference
3 appendices, the ACM approval manual.

4 We have the Building Energy Standards Program
5 website. Here you can find the latest, the 2019 set of
6 standards, the set of documents, the certified computer
7 programs that you can use to meet compliance. We have
8 our pre-rulemaking comments. Those are the pre-
9 rulemaking workshops and the comments that we received
10 during the last cycle of the development of the codes.

11 And the bottom one is the link to the IOU
12 website where they held, and the comments they received
13 on the proposed case reports that they submitted to the
14 Energy Commission.

15 This slide here, again you're going to see this
16 over and over again. We really are trying to push to
17 get your comments and your questions sooner than later,
18 hopefully for these workshops this week, we should
19 hopefully get your comments in a week or two at the
20 latest, so that we can really sit down and look at
21 those, and make a decision how to go forward with our
22 code language.

23 I encourage you to submit your comments in our
24 docket versus sending it by mail, or emailing it to us.
25 As you know, most of us are not working in the office no

1 longer. We're working remotely. And to go in and pick
2 up mail is very time consuming and might be a little
3 difficult to get in.

4 So, I recommend you submit your comments through
5 our docket. But if you need to, you could also mail in
6 your comments.

7 With that, any questions? I'm not seeing any.
8 I'm not going to wait too long on this. We're going to
9 go right into the heart of this. Oh, I have one raised
10 hand. Bob, go ahead. I'm going to unmute you. And
11 please state your name and your affiliation. Thank you.

12 MR. GUNN: Hi Payam, thanks for the
13 introduction. This is Bob Gunn with Synergy. I'm sorry
14 if I missed it, but is the agenda for the next couple of
15 days available or at least the order?

16 MR. BOZORGCHAMI: Yes. Yes, they are. They're
17 already posted on our website.

18 MR. GUNN: Okay.

19 MR. BOZORGCHAMI: And if you go into that BSTD
20 -- 21-BSTD-01 and just do a control F, and type in
21 agenda, it should come up, the three days.

22 MR. GUNN: Okay. All right, thanks. Sorry for
23 asking something so --

24 MR. BOZORGCHAMI: No, no, it's all good. Thank
25 you.

1 MR. GUNN: Okay, I'll talk to you later then,
2 thanks.

3 MR. BOZORGCHAMI: Alrighty. Okay, with that I'm
4 going to pass the presentation to Mazi Shirakh and Danny
5 Tam. Mazi Shirakh being our Senior Mechanical Engineer
6 working on the baselines on PV and battery, and Danny
7 Tam being our Subject Matter Mechanical Engineer here at
8 the Energy Commission. We'll do a tag team during this
9 morning's presentation.

10 MR. SHIRAKH: So, good morning Payam, thank you.
11 I want to switch to my own presentation because I have
12 made some changes. Let me know if you can.

13 Good morning everyone. I'm Mazi Shirakh, a
14 member of the Building Standards Office. So, me and
15 Danny Tam will be presenting the main building
16 decarbonization measures this morning, which includes
17 heat pump baselines, and photovoltaics, and battery
18 storage system for multifamily and selected
19 nonresidential buildings.

20 I just want to pause for a moment and introduce
21 our Building Decarbonization Team. Many people have
22 helped with this effort besides myself.

23 It's my long time colleague Bill Pennington,
24 tremendous contributions by him to all topics related to
25 this code cycle.

1 Danny Tam, which you'll be hearing from a little
2 bit later. Payam, you just heard from him.

3 Will Vicent, who's our Office Manager. RJ
4 Wichert and Cheng Moua, both mechanical engineers.

5 We also had an extended consulting team that
6 helped with many aspects of income baselines, and
7 photovoltaic and battery storage system. It in Bruce
8 Wilcox, Ken Nittler, Jon McHugh from McHugh Energy, E3,
9 MORESCO, TRC, Energy Solutions. And also, I want to
10 recognize the efforts of the California's utilities, the
11 IOUs who helped many of the measures that will be
12 presented today, and the hearings later in the week.

13 So, Building Standards have recognized
14 decarbonization as a primary goal for this round of
15 standards. It's a switch from the past. And so, we
16 have instituted certain policies to moving that
17 direction.

18 One of them is to adopt building energy
19 performance standards. And, you know, all the measures
20 that we consider for our buildings must be feasible and
21 cost effective, and building decarbonization measures
22 are no exception.

23 We will adopt performance standard baselines
24 that are based on or encourage heat pump technology to
25 achieve energy efficiency. So, in general our standards

1 are performance standards. We have a prescriptive
2 baseline that establishes the basis for the performance
3 standards, and establishes a budget for the performance
4 standards. And once that budget is established people
5 can use the performance software to do tradeoffs. So,
6 you know, even though we encourage certain technologies
7 through our prescriptive standards, the builders always
8 have a choice to do tradeoffs, if they wish.

9 We will also, as part of these standards they'll
10 be requiring PVs and storage. You know, this was first
11 introduced in the 2019 standards for low-rise
12 residential. We're expanding that to multifamily and
13 selected nonresidential buildings.

14 We're also going to be including a reach code
15 proposal, which is a separate hearing as part of the
16 Part 11, and we'll have an additional recommendation for
17 that, which will be presented in a separate workshop in
18 the near future.

19 So, as I mentioned with this round we're
20 beginning the transition to the heat pump technology.
21 This is a key technology to reduce emissions from
22 buildings. But also, it's a nascent technology in many
23 ways for buildings and it needs, basically, some time to
24 make the transition more successful and seamless.

25 Currently, there's very low market share for

1 heat pumps. For instance, with heat pump water heaters
2 for residential buildings comprise less than 2 percent
3 of the installations. So, you know, we're making a
4 major jump in that and we need to make sure that the
5 market is prepared for it.

6 There's limited builder and consumer experience.
7 They're not rocket science but, you know, it does
8 require the builders and the installers to basically
9 make a switch. And it does also required that the
10 consumers to become comfortable with them. And, you
11 know, we think they're great technologies and it's just
12 a matter of adopting them and adjusted the expectations
13 slightly.

14 Concerns about the supply chain is valid. You
15 know, once we go from basically 2 percent to 90 percent,
16 you know, we want to make sure that the supply chain is
17 there to support this transition.

18 There are also issues related to heat pumps.
19 They're less efficient at very cold temperatures and
20 you'll see that reflected in our recommendations. In
21 the colder climate zones, like our Climate Zone 16, the
22 mountains, Lake Tahoe Climate Zone 1, which is the north
23 coast, Humboldt County in the heat pumps, traditional
24 heat pumps don't do well. Because of heavy reliance on
25 resistance backup. So, you know, we have alternative

1 proposals sometimes for those climate zones.

2 One major change in this cycle is the inclusion
3 of long-run marginal source energy, which is the proxy
4 for carbon emissions from the building, as a second
5 metric in addition to the TDV. We've historically used
6 time dependent valuation, TDV, as a metric for cost
7 effective, and also as a currency for doing tradeoffs
8 within the standards performance path.

9 Now, as part of this decarbonization effort,
10 we've introduced the source energy. Now, we have two
11 levers, two metrics. And by fine tuning both of them
12 carefully, we can facilitate building decarbonization,
13 while protecting envelope and other efficiency measures,
14 and also maintaining grid harmonization signals.

15 So, what have we accomplished with this cycle of
16 standards? This is kind of a quick overview of the --
17 this is emissions savings. And the numbers here are
18 metric tons of CO2 equivalent.

19 So, this is a 2016 standard level emissions,
20 close to about 600,000, you know, metrics of CO2e from
21 all buildings. And then, we went to 2019 standards
22 where we introduced solar for the first time. And then,
23 this is the current 2022 standards.

24 Interesting conclusion is that, you know, our
25 historic emphasis on energy efficiency not only has been

1 helping us to save significant sums of money for the
2 occupants, but they've also been helping reducing
3 emissions from our buildings. So, measures that we
4 introduced in the past, like high performance walls,
5 rooftop insulation, and better windows, more efficiency
6 in general have also been helping with building
7 decarbonization.

8 What we're also finding is that PV and battery
9 storage are also key, and perhaps (indiscernible)
10 component in reducing emissions from the buildings. And
11 now, with this cycle, you know, we're interested in
12 seeing heat pump technology for either space heating and
13 space cooling.

14 So, when we look at the total emissions from
15 single-family, multifamily, non-res, and this is the
16 state total, this is direct emissions. The direct
17 emissions, but they do not include the GWP, global
18 warming potential, of the refrigerants. You know, heat
19 pumps are like any air conditioning, they have
20 refrigerants and they leak occasionally, both on an
21 annual basis and end of life. And heat pumps tend to
22 have a little bit more refrigerants than the traditional
23 air conditioning units. So, they have an increased GSG
24 impact compared to traditional air conditioning system.

25 And that is the difference between the table on

1 the top and table on the bottom. You know, without the
2 GHG -- the GWP impact, you know, we have larger savings.
3 Once you include the GWP it eats into the savings of
4 emissions, but we're still significantly net positive.

5 The good thing is that in the future, you know,
6 we expect by the middle of this decade most air
7 conditioning systems are going to be switching to lower
8 GWP refrigerants, A2L for instance. So, you know, this
9 gap is going to narrow in the future and, you know, we
10 can probably have better results from our switching for
11 a heat pump.

12 So, we can create a heat pump baseline, and
13 which is what we've done for both space heating and
14 water heating. And they're going to be part of the
15 prescriptive baseline for this upcoming code cycle. In
16 fact, when it's adopted. And again, that sets the
17 baseline for our performance plat.

18 So, the buildings we're considering are low-rise
19 residential, high-rise multifamily and selected
20 nonresidential occupancies.

21 So, heat pumps are very efficient technologies.
22 They have COPs in excess of 3, 3 and a half, which
23 causes both reduction in energy bills and GHGs. But
24 like any other measure, you know, we have to demonstrate
25 that they are feasible and cost effective. And that's

1 where you'll see in the next slides that there are
2 variances between climate zones. Because, you know, we
3 have to pick the option that was feasible and cost
4 effective for that climate zone.

5 So, getting into the details. Heat pumps
6 baselines for nonresidential buildings. We're adding a
7 new section, 140.4(a)2 for single zone space
8 conditioning systems. So, those only applies in
9 nonresidential buildings with single zone systems with
10 direct expansion cooling, that's DX cooling, that's less
11 than 240,000 Btu per hour. That's a 10 ton system.

12 So, you know, if you have a system that's bigger
13 than 10 ton or it's not a direct expansion, then this
14 doesn't apply. The good news is the vast majority of
15 package system in those buildings actually fall within
16 this limit.

17 Other system types can comply. They must use
18 the performance pack. Again, as I mentioned, you know,
19 we have both source energy and TDV. You know, we're
20 establishing performance targets. And for both of those
21 metrics you can use the performance apps to do
22 tradeoffs.

23 And these are -- these requirements are not
24 applicable to systems using central boiler and chiller
25 systems. This will be something we're going to look at

1 as part of the next cycle of standards, in 2025.

2 So, this table summarizes our recommendations
3 for nonresidential buildings in Section 140.4 for
4 retail, grocery, and grocery buildings. Climate Zones
5 at 2-15. That's the baseline's going to be a heat pump.
6 Space heating units, as I mentioned in the previous
7 slide, you know, it has to be less than 10 tons.

8 Now, for the same buildings in Climate Zones 1
9 and 16, for units that are smaller than 65,000 Btu per
10 hour, that's about 5 and a half tons. For those colder
11 climate zones baseline will remain an AC with a furnace.
12 The heat pump simply was not cost effective in those
13 climate zones.

14 For retail and grocery buildings in Climate Zone
15 1 and 16, for units that are greater than 65,000, then
16 the baseline becomes a dual-fuel heat pump. The dual-
17 fuel heat pump is actually a promising technology. It
18 behaves just like a heat pump at temperatures above 35
19 degrees C -- sorry, Fahrenheit. And, but when it gets
20 colder, instead of turning on a resistance it actually
21 has a traditional furnace that kicks in. In most
22 climate zones it actually has similar TDV and source
23 energy benefits similar to the heat pump. It actually
24 has better performance in the colder climate zones. But
25 it does cost a little bit more. So, that's why, you

1 know, for the smaller system it wasn't cost effective.
2 So, that's for retail and grocery.

3 School buildings, Climate Zones 2 through 15
4 gets a heat pump space heater. The same, school
5 buildings Climate Zone 1 and 16 it's a dual-fuel heat
6 pump. Again, that worked out, had good both TDV and
7 source energy savings, and it was cost effective.

8 Office, financial institutions like banks and
9 library buildings, Climate Zone 1 through 15 is a heat
10 pump space heater.

11 The same, buildings in Climate Zone 16 for
12 smaller than 65,000 Btu per hour is an AC with a
13 furnace. And the same, buildings, if it's larger than
14 65,000, then it's a dual-fuel heat pump.

15 Any warehouses, offices only, in all climate
16 zones the baseline will be a heat pump space heater.

17 For single family, so we looked at every single
18 climate zone, we looked at our two prototypes, and we
19 have recommended heat pump either for space heating or
20 water heating, depending on the climate zone.

21 So, the requirement is proposed to be a heat
22 pump space heater in Climate Zones 3, 4, 10, 13, and 14.
23 So, 3 is San Francisco/Alameda, 4 is San Jose, 10 is
24 East San Diego, 13 is Bakersfield, you know, the Fresno
25 area, and 14 is high desert.

1 In the remaining climates, Zone 1 in North
2 Coast, 2 is Santa Rosa, 5 through 9 are mild, coastal,
3 Southern California climate zones, 11 is the Shasta or
4 Redding, 12 is Sacramento, 15 is the low desert, Palm
5 Springs, and 16 is the mountains. So, for those climate
6 zones it's a heat pump water heater is proposed to be
7 the baseline.

8 Again, other system types can comply using the
9 performance path. You know, if you want to do something
10 else, you have to basically use additional measures to
11 make up the difference. As long as you meet the
12 performance targets, you're good to go.

13 We are -- we may be proposing switching Climate
14 Zone 10 from a heat pump water heater to a heat pump --
15 sorry, from a heat pump space heater to a heat pump
16 water heater. It has similar energy savings, the
17 savings don't change very much, but it has a larger
18 environmental benefit. So, you know, we'll be
19 considering that as part of the 15-day language.

20 Heat pump space heater baselines for
21 multifamily, Section 170.2(c)3A add new requirements for
22 space conditioning. These are again applicable to
23 buildings with direct expansion cooling, serving
24 individual dwelling units.

25 Again, you know, we can begin to see the pattern

1 here that we're going after packaged units serving
2 individual units. We're not going after central systems
3 at this point in time. That's for the next cycle of
4 standards. Similar to other occupancies that other
5 systems can comply using the performance path. And
6 these are not applicable to systems using multi-zone, or
7 central boiler, or chiller systems.

8 Heat pump space heater baseline for low-rise
9 multifamily, these are -- the high-rise is four stories
10 and higher, low-rise is three stories and lower.
11 Climate Zones 1 through 15, the baseline shall be a heat
12 pump space heater.

13 For Climate Zone 16, the space conditioning
14 system shall be an air conditioner with furnace, as it
15 currently is. Neither heat pump space heater or dual-
16 fuel heat pump was cost effective in this climate zone.

17 Additionally, for Climate Zones 4 through 10,
18 for balanced ventilation systems that they don't have
19 recovery, the fan recovery must be at least of a 0.4
20 watt per cfm, or better. That's spelled out in Section
21 160.2(b)2Aivb1. That's a long one.

22 Anyway, heat pump baselines for high-rise
23 multifamily. And so, again this is four habitable
24 stories and greater. For Climate Zones 2 through 15,
25 the baseline shall be a heat pump space heater.

1 For Climate Zones 1 and 16, the space
2 conditioner shall be a dual-fuel heat pump.

3 So, I think that concludes the space heating
4 baselines and I'm going to turn it over to Danny. He's
5 going to talk about the water heating baseline. And
6 I'll come back one more time after Danny to talk about
7 photovoltaics, and battery storage, and other exciting
8 measures that we have. Danny.

9 MR. BOZORGCHAMI: Mazi, this is Payam. I'm
10 going to jump in real quick, I apologize.

11 MR. SHIRAKH: Sure.

12 MR. BOZORGCHAMI: I did not clarify that these
13 presentations will be posted on our docket tomorrow.
14 We're not going to be able to do it today because by the
15 time we're done with the workshops, the docket folks
16 will probably be left for the day. So, we'll docket all
17 these PowerPoint presentations tomorrow morning. Thank
18 you.

19 MR. TAM: Hi, I'm Danny Tam from CEC, and I'll
20 be presenting the water heating heat pump baseline.
21 First, we'll go over the single family changes, which
22 are in Section 150.1(c)8.

23 So, we're proposing to remove the existing gas
24 prescriptive options. And as mentioned before is a note
25 that gas water heaters can still be installed and comply

1 using the performance compliance method.

2 Next we are proposing to modify our two existing
3 heat pump water heaters options. The first option will
4 now be a 240 volt heat pump water heater. In addition,
5 in Climate Zone 1 and 16 there's additional requirement
6 for compact hot water distribution. And also,
7 additionally for Climate Zone 16, they need a drain
8 water heat recovery device.

9 The second heat pump water heater option is a
10 heat pump water heater that meets the Northwest Energy
11 Efficiency Alliance, NEEA, advanced water heating spec
12 Tier 3 and above. And in addition, in Climate Zone 16
13 they also need a drain water heat recovery device.

14 Finally, we're proposing a new prescriptive
15 option for solar, a hot water system with electric
16 backup.

17 The next slide, please. As Mazi mentioned
18 before, the single family heat pump baselines for space
19 heating and water heating are supposed to work together.
20 So, we're proposing a new Exception 1 for gas
21 instantaneous water heater in Climate Zones 3, 4, 10, 13
22 and 14. These are the same climate zones that are
23 identified and they have to be a heat pump space heater.

24 So, we are proposing to move Climate Zone 10
25 from heat pump space heater to heat pump water heater.

1 So, under the 15-day language Climate Zone 10 will not
2 be part of this exception.

3 We're adding a new Exception 2 for point-of-use
4 electric water heater for junior ADUs. These are a
5 really small structure where physical space might be
6 limited for a heat pump water heater.

7 We're also proposing to add Exception 3 for a
8 120 volt heat pump water heater instead of 240 volt for
9 the two heat pump options. That's for dwellings with
10 one bedroom or less. Again, this exception is geared
11 towards ADUs. Sometimes they have some electrical panel
12 constraints.

13 So, next slide. So, moving on to the heat pump
14 water heater baseline for small schools. In Section
15 140.5 we're proposing to add a new subsection (a)1 for
16 school buildings less than 25,000 square feet and less
17 than 4 stories in Climate Zones 2 through 15.

18 The new requirement is that the water heating
19 system needs to be a heat pump. Again, gas equipment
20 can still comply using the performance compliance
21 method.

22 We're also adding an exception from the heat
23 pump requirement if the water heater -- if the water
24 heater is only serving a bathroom space, in which case
25 the water heater can be instantaneous or tankless

1 electric water heater.

2 The next slide. We'll cover this part again
3 later today. I just want to mention, for newly
4 constructed nonresidential buildings there's a new
5 requirement for high capacity gas service water heating
6 systems. This aligns with the current requirements in
7 ASHRE 90.1.

8 It will raise the thermal efficiency to weighted
9 thermal efficiency of 90 percent. It will apply to
10 system capacity of 1 million Btu per hour or greater.

11 There is some exceptions. If 25 percent of the
12 water heating load is met by onsite solar, or side
13 recovered energy.

14 The next slide. So, now we're opening it up for
15 questions and comments on the section we just covered,
16 the heat pump baselines for nonres buildings, single
17 family, and multifamily.

18 MR. STRAIT: We have two questions in chat. the
19 first question I see is from Jonny Kocher of RMI who
20 asks: Is the baseline for these savings 2016?

21 MR. SHIRAKH: So, I didn't get the question. Is
22 the base -- no, the baseline of -- you know, the point
23 of comparison for all of our energy and emissions
24 savings is the 2019 standards, not 2016. We presented
25 2016 just as an additional point of information. So,

1 you know, people can see how the standards have actually
2 been making progress towards the ZNE goal. But all of
3 our cost effectiveness and emissions estimates, they use
4 2019 standards as the basis.

5 MR. STRAIT: Laura Petrillo-Groh, I hope I'm
6 saying that right, who I believe represents AHRI, asks:
7 Can a minimum efficiency heat pump or water heater, as
8 applicable, be used to meet the 150.1(c)7 and 8
9 proposals?

10 MR. SHIRAKH: Yes. I mean all of our baselines
11 that, you know, we've specified here in this table --
12 let me go back up. So, like, yeah, these -- everything
13 that you see here, these are minimally compliant federal
14 -- federally compliant devices, appliances.

15 MR. STRAIT: Gina Rhoda and Martin Cooper both
16 are asking effectively the same question: Are the
17 proposed standards also applicable to alterations or
18 replacements?

19 MR. SHIRAKH: So, certain alterations in the
20 future might fall under these. But in general, when we
21 do alterations you are allowed to replace the system
22 with another like system. So, that's the to-be-
23 determined for the future. But at this time we're only
24 presenting this as requirements for newly constructed
25 buildings. Additions certainly fall under these

1 requirements, but alterations are going to be a case by
2 case basis.

3 MR. STRAIT: All right. We're getting
4 additional typing -- questions by type. Bruce Severance
5 asks: Has staff considered preheating to feed a heat
6 pump water heater with either solar, thermal, or drain
7 water heat recovery?

8 MR. SHIRAKH: We actually did consider solar
9 thermal. They all had cost effectiveness issues. We
10 did extensive studies on many, many alternatives with
11 our contractors. And, yeah, the cost effectiveness
12 basically drove us to this set of measures.

13 Now, again, you can use the systems that Bruce
14 is proposing on the proposed side. There's nothing to
15 stop you from doing that. So, you know, we're using
16 minimally compliant appliances to establish our
17 baselines. The performance path, we can use that
18 (indiscernible) -- so, yeah, and you can definitely use
19 those systems to comply.

20 MR. STRAIT: Bruce Severance wants to clarify
21 that this is: Has staff considered preheating
22 -- have staff considered that preheating can damage
23 compressors at full condensing if refrigerant is
24 inhibited by lower temperature rise?

25 I don't believe we are placing design

1 constraints. That's really up to the design
2 professional.

3 MR. SHIRAKH: Yeah.

4 MR. STRAIT: Yeah.

5 MR. SHIRAKH: Yeah, we're not doing that.

6 MR. STRAIT: So, we're specifying equipment.

7 The design or more detailed interactions between
8 different equipment that's not mandated by the Energy
9 Code really is up to that design professional.

10 Laura Petrillo-Groh -- no, wait, I'm sorry.

11 Aaron Berger asks: When looking at heat pump
12 technologies did the Energy Commission consider gas heat
13 pumps?

14 MR. SHIRAKH: So, that dual-fuel heat pump is a
15 gas pump, so we looked at them. And, you know, you can
16 see them here, that's a dual-fuel heat pump. Basically
17 what this is, is a heat pump, but instead of a backup
18 resistance it uses a furnace. They perform well in
19 colder climate zones like Tahoe. But, you know, they
20 have an additional cost associated with them relative to
21 straight heat pumps. And so, again, we actually look at
22 these technologies for every single climate zone and
23 building types and it did turn out that in the colder
24 climate zones dual-fuel heat pumps actually outperformed
25 regular heat pumps, or ACs with a furnace. So, yes, we

1 did consider it.

2 MR. STRAIT: I think he might have meant there
3 are some gas absorption water heaters. So, there's none
4 that's commercially available, to my knowledge. I mean
5 in the future, I mean we could consider it, but we did
6 not consider it this code cycle.

7 MR. SHIRAKH: I suspect that cost effectiveness
8 will also be an issue. But again, this is just our
9 standard baseline. You can use that technology in your
10 building using the performance path, if that's what the
11 designer or the building owner wants, and they find it
12 to be cost effective or desired.

13 MR. STRAIT: Laura Petrillo-Groh asks: Can you
14 please expand on what is meant by a case-by-case basis
15 for alterations?

16 MR. SHIRAKH: So, again I think we need to have
17 a separate discussion. In most cases when you do
18 alterations and you replace like a water heater, you can
19 replace it with a similar water heater. So, these
20 standards are not going to kick in.

21 But if there's an alteration where, you know,
22 the building is a scrip basically to the studs, and
23 they're rebuilding the entire house, you know, some of
24 these requirements may actually kick in. But if you're
25 just simply replacing your air conditioning system in

1 the future and that's the only change you're doing then,
2 no, these will not kick in the way the code is currently
3 written.

4 But again, if you're doing a gut rehab, that
5 might be a different scenario.

6 MR. STRAIT: Okay. Ted Tiffany asks: You
7 didn't go into detail on the central heat pump water
8 heater baselines for multifamily. Has the baseline
9 proposal change from previous presentations? And can we
10 detail unitary versus central baselines for multifamily?

11 MR. SHIRAKH: Danny?

12 MR. TAM: So, multifamily is on, I forgot,
13 Thursday or Friday. So, we -- so those will be covered
14 on that day. We have not made a decision about, you
15 know, the performance baseline for central heat pump
16 water heater. Most likely it's got to be the base on
17 the proposal for the prescription option for central
18 heat pump water heater.

19 MR. STRAIT: Danny, this is Payam. I'm going to
20 interject here real quick. The multifamily, it's going
21 to be presented on Thursday afternoon.

22 So, effectively the reasons we're going to get
23 into more detail on the multifamily questions in a later
24 workshop -- or, later hearing.

25 MR. TAM: I think another thing is, you know,

1 these are like a single baseline for central water
2 heating system. We're probably going to stick with two
3 baselines, like one for gas and one for it's the central
4 heat pump water heater. It's going to be two separate
5 baselines.

6 MR. STRAIT: So, Bruce Severance asks: Why
7 were dual-fuel heat pumps found to be cost effective in
8 grocery applications in Climate Zone 16, and not in
9 office/library applications in the same climate zone?
10 And how different were the cost effectiveness calcs?

11 I don't know that we're getting into this level
12 of detail in this hearing since we need to be able to
13 open it up for a --

14 MR. SHIRAKH: I can briefly mention it. But,
15 yeah, you know, if he wants to take it offline.
16 Because, you know, these are two entirely different
17 levels, retails and schools have different schedules,
18 different loads. They're not the same. So, even though
19 they're in the same climate zone, you know, they have
20 entirely different operating hours, they have different
21 loads. So, the results are not unreasonable to be
22 different. So, we can get into the details of that
23 offline. But you'll see that in many of our analyses,
24 including PVs and battery storage, that in the same
25 climate zone sometimes because of the schedules and the

1 loads the results are different for the same systems.

2 MR. STRAIT: Thanks Mazi. That's all for our
3 typed questions.

4 MR. BOZORGCHAMI: Thanks Peter. Thanks Mazi.
5 We're going to go now to the raised hands and
6 I'm going to open it up. So, Ann Harvey, I'm going to
7 unmute you. Go ahead and state your name and your
8 affiliation, please.

9 MS. HARVEY: Hi, my name is Ann Harvey. I live
10 in Oakland. I'm I retired family doctor. I have a
11 question first, which is on the slide about the CO2
12 equivalent savings. There were two charts on the left
13 and the top one -- yeah, thank you.

14 So, the direct emission savings on the bottom
15 includes the global warming potential of leaked
16 refrigerants. Does either of these include the global
17 warming potential of leaked natural gas from the site of
18 extraction through transmission, through the actual
19 home, which you know is 85 or more times strong global
20 warming gas than CO2.

21 MR. SHIRAKH: Well, thank you, Doctor that's a
22 good question. We consider gas leaks within the
23 building or the deeper gas infrastructure that is within
24 the subdivision and in the buildings. But we do not
25 consider leaks from the well head and, you know, the

1 pipelines per event.

2 MS. HARVEY: Well, I would encourage you to
3 because that is one reason to not go with one appliance
4 per building. It's a reason to go with all appliances
5 per building so that you can stop building out more
6 leaking natural gas infrastructure in the whole state.

7 MR. SHIRAKH: Yeah, I mean --

8 MS. HARVEY: Because we're in an emergency. You
9 know, this is --

10 MR. SHIRAKH: Yeah. No, I understand and the
11 CPUC is looking at that. But, you know, this is a
12 building standard and, as such, you know, we can only
13 consider energy or emission impacts that are related to
14 buildings. What you're describing are more societal and
15 I mean they should be considered in some other forum.

16 But, you know, we are dealing with the building
17 standards here, so our authority, our mission is related
18 to those occupancies. That's not to say what you're
19 saying is not valuable or important, it's just when
20 we're dealing with building standards we consider only
21 energy emissions that are impacted by the building.

22 MS. HARVEY: Yeah, but each building requires
23 the gas lines to the building if it has gas appliances.
24 I'll be quiet now, but I think each building has
25 responsibility for the gas lines to the building.

1 MR. SHIRAKH: Thank you.

2 MR. BOZORGCHAMI: Okay, next is Cynthia Mahone
3 -- Mahoney. Sorry about that, apologize. Go ahead and
4 state your name and your affiliation, please. You need
5 to unmute yourself.

6 MS. MAHONEY: Yes. Thank you. Hi, my name is
7 Cynthia Mahoney. I am a physician in East Bay,
8 Danville, California. And I'm speaking on behalf of
9 Climate Health Now, which is a group of nearly 500
10 health professionals across the state who are concerned
11 about the climate emergency.

12 We would urge the Energy Commission to move to
13 all electric buildings in the 2022 Code cycle. There
14 are a number of reasons for this. The health impacts
15 are tremendous. We know that children living with gas
16 stoves have a much higher incidence of asthma symptoms,
17 42 percent higher. It's like living in a home with
18 passive smoking.

19 New data out just in the last couple weeks show
20 that exposure to pollution, even preconception, before
21 the child is conceived increases the risk of asthma.
22 And it's from ultrafine particles which are released by
23 gas stoves.

24 This adds to the burden of pollution which we
25 know is going to increase from fires and it's

1 compounding inequities and racial injustice.

2 We're in a climate health emergency. These heat
3 pumps have the added benefit of cooling, as well as
4 heating, which is going to be very, very important as we
5 are subjected to more and more heat. So, we cannot
6 afford to wait for another three-year cycle. The
7 climate emergency is accelerating with more impacts than
8 people realized.

9 And I would say that building new homes with gas
10 lines is tying us into emissions we cannot afford. It's
11 like saying my doctor told me to quit smoking, but since
12 I already bought, you know, enough cartons of cigarettes
13 to last for the next 20 years I'm going to use them
14 first, and then I'll quit. We have to take away this
15 almost like a stranded asset of building something that
16 then people will feel like they have to use to get back
17 their investment.

18 So, I want to thank you for protecting us from
19 pollution and the climate health emergency by
20 implementing all electric building codes in the 2022
21 cycle. Thank you.

22 MR. SHIRAKH: Thank you, Dr. Mahoney. Just I
23 wanted to make one quick note is that on these buildings
24 that you see here, which is a good number of buildings,
25 and commercial, nonresidential, the space heating

1 actually represents the larger load compared to the
2 water heating. So like, you know, in retail offices,
3 you know, you can imagine that the space heating and
4 cooling is a much larger load than water heating.

5 So, by this change we actually accomplish the
6 majority of emission savings that can be attained from
7 heat pumps. So, I just wanted to point that out that
8 this is not a 50/50 thing. It's like, more like 80/20
9 thing. So, that was just my response.

10 And, you know, we are working -- we will be
11 working in the next cycle to switch the remainder. And
12 some of the problems that we ran into is that, you know,
13 for water heating there are simply not currently cost
14 effective or even feasible options for central boiler
15 systems. So, you know, we really didn't have a choice
16 there.

17 But, you know, technology is improving and so,
18 hopefully, by the next round we will have a more
19 comprehensive set of standards. But I think we've
20 captured the lion's share with these requirements here.

21 And also, just as important is the PV and
22 battery storage and their impact on emissions, and which
23 we'll be talking about shortly, after this. Thank you.

24 MR. BOZORGCHAMI: Thank you, Mazi.

25 I'm seeing a lot of raised hands coming in. Can

1 we implement the 2-minute rule.

2 MR. STRAIT: Actually, before we do that, I
3 think what we need to do is focus first on folks with
4 questions about what was presented before we move on to
5 general comments.

6 MR. BOZORGCHAMI: Sure.

7 MR. STRAIT: But, yes, I think we're willing to
8 implement a limit when we move to general comments.

9 MR. BOZORGCHAMI: That was my next comment, yes.
10 Commissioner, are you okay with that?

11 COMMISSIONER MCALLISTER: Yes, I am good with
12 that. Hopefully, you can hear me. I believe I'm
13 unmuted now.

14 MR. BOZORGCHAMI: Yes, yes. Yeah, great, thank
15 you.

16 COMMISSIONER MCALLISTER: Okay, great. Yeah,
17 just I want to encourage people to focus on the
18 particulars of the proposal. I mean, absolutely want to
19 hear your general comments as well. We do just,
20 unfortunately, only have so many minutes in the day, and
21 so I just want to make sure that staff has a chance to
22 get through the proposals and that we can, you know,
23 ensure that everyone who has comments has time to input
24 those comments at the appropriate moment of the day.

25 So, we're going to try to keep -- I'm going to

1 ask staff to try to keep track of how many -- you know,
2 the chat, of course, and then how many raised hands we
3 have, and then when we really need to move on to the
4 next section of the day. And then we can adjust, sort
5 of do the math and adjust the time period that each
6 person has for their comments. And we can go to two
7 minutes, or even one minute, if just we're really
8 pressed for time.

9 And then also, I would just ask with the staff
10 responses let's try to be, you know, as sort of surgical
11 as we can so we can make sure to keep on time. So,
12 thanks everyone for just your understanding about the
13 process. And it's a limitation, so thanks.

14 MR. BOZORGCHAMI: Thank you.

15 So, Laura, I'm going to unmute you. Go ahead
16 and state your name and your affiliation.

17 MS. NEISH: Laura Neish, 350 Bay Area. And just
18 wanted to quickly respond to your last comment. That,
19 you know, within the home that you're taking care of a
20 bunch of the emissions with the heat pump for air
21 conditioning. But that doesn't account for the leakage
22 along the network. So, at every stage of getting the
23 natural gas out of the ground and into our homes, where
24 it creates, you know, a level of toxic air pollution it
25 is leaking. And if you look at the spikes in methane

1 that have recently been recorded, it is catastrophic.

2 So, even the International Energy Agency
3 acknowledges that increased fossil fuel development is
4 madness. And we just have to take a minute to stop and
5 listen to that. We do have time before the rollout of
6 the code, and the technology is racing along. We are
7 the fifth largest economy in the world and I venture to
8 guess that when we make this all electric new
9 requirement that the technology will in fact catch up.

10 So, really do appreciate your support and
11 understand the complexity of the situation, but we have
12 run out of time. And extending the fossil fuel
13 infrastructure network at this point in time is absolute
14 madness. So, thank you for listening.

15 MR. SHIRAKH: Thank you. And again, I don't
16 disagree with the comment. It's just the building
17 standards has limitations. And many of these pipelines
18 and wellheads are in other states. So, you know, there
19 should be other proceedings that address that. But for
20 building standards we are limited to the impact of the
21 buildings. Thank you.

22 MR. BOZORGCHAMI: Ben Davis, I'm going to unmute
23 you. Go ahead and state your name and affiliation,
24 please. And unmute yourself. There you go.

25 MR. DAVIS: Hi, Benjamin Davis, California Solar

1 and Storage Association. Good morning, everyone. This
2 is probably the most exciting discussion I've been a
3 part of, of a Monday morning in a while, so thank you,
4 folks. Thank you to Mazi and Danny for all your work on
5 the electrification baseline and, specifically, for
6 making sure CBAG gives solar thermal appropriate credit.

7 We understand that a full electrification
8 baseline or even a requirement isn't in the cards for
9 these standards. But we hope that this is, indeed, a
10 two-cycle process.

11 We also appreciate that while the baseline is
12 set for heat pumps that both the prescriptive approach
13 and the performance approach are technology agnostic on
14 how to meet the baseline. And that obviously allows
15 solar hot water to be a compliance technology. And
16 that's important because there's a high savings, energy
17 savings and a cost savings over the life of the product,
18 even as the initial upfront cost is higher than heat
19 pumps. So, glad it's in there and can be a compliance
20 option.

21 We expect the electrification baseline to spur
22 the demand for solar water heating for many building
23 types. And I just wanted to say that the solar thermal
24 industry has been paying attention, and is excited, and
25 they are ready and here to help meet that demand. So,

1 thank you.

2 MR. BOZORGCHAMI: Thank you, Ben.

3 Stephanie Morris, I'm going to unmute you. Go
4 ahead and unmute yourself, yeah. Please unmute yourself
5 and state your name and affiliation.

6 MS. MORRIS: Yes, thank you. Hi, my name is
7 Stephanie Morris. I'm a mother and a volunteer with
8 Mothers Out Front Silicon Valley. And our chapter
9 represents over 2,000 people locally and 35,000 people
10 nationally. And we're all mobilized. We are out of
11 time. And as many people have mentioned today, the
12 climate crisis is happening now. And you have this
13 powerful change you can make. I've been working with
14 local cities in our area to work to have all electric
15 building codes implemented, and they are working, and we
16 are doing this. And I really don't understand why for
17 most climate zones we can't build all electric.

18 The key thing, I know it keeps getting batted
19 around that we can't do this because we're not quite
20 ready, but I don't understand that because we are
21 locking ourselves into eight more years, potentially, of
22 gas infrastructure. And that gas infrastructure is the
23 problem because we're going to be losing millions of
24 dollars, and it's totally incompatible with the science
25 and the climate reality that we're experiencing.

1 So, I really would like to have more
2 justification. I feel like I have converted my home to
3 electric appliances. There are all electric homes.
4 They are functioning, they are working, and contractors
5 will adjust when the market conditions reflect our
6 climate reality.

7 So, a weak code now is going to result in a dire
8 future for millions of children. So, I'd like to hear
9 more about why we can't do this now. I think it's
10 imperative that we do it now. We're out of time. Thank
11 you very much.

12

13 MR. SHIRAKH: I don't think this is a weak code.
14 As I mentioned, you know, we are capturing the lion's
15 share of emissions. And, you know, we are allowing the
16 transition to an electric baseline for the next cycle.
17 But, you know, between -- you know, we picked the most
18 impactful loads in the buildings and we're switching
19 them to heat pumps in all building sectors. And again,
20 we're adding more energy efficiency. We're adding more
21 PV and battery storage. And the entire package has a
22 very significant impact in results in emissions
23 reductions. So, I do not characterize this as weak and
24 --

25 COMMISSIONER MCALLISTER: Mazi?

1 MR. SHIRAKH: Go ahead.

2 COMMISSIONER MCALLISTER: So, yeah this is
3 Commissioner McAllister. I want to just acknowledge the
4 comments about the climate urgency. I agree. I'm
5 speaking to you from all electric passive house that I
6 have built myself to understand, so to make sure that I
7 understand all these technologies and how they're coming
8 down the pike. And I agree with you, there are amazing
9 technologies that will be helping us solve this problem
10 over the coming few years, really. You know, again we
11 do have urgency.

12 But the framework around, from the Warren-
13 Alquist Act onward, the framework around the Building
14 Energy Efficiency Codes, and they are Energy Efficiency
15 Codes, we need to remember that, the Building Energy
16 Efficiency Standards.

17 And so, it's based on an energy metric, energy
18 efficiency metric. And it's not a -- you know, there
19 are -- there's a framework around the way that the
20 Building Code has to be developed and justified. And it
21 doesn't not include dictating end uses. You know, it
22 doesn't include clothes dryers and it doesn't include
23 cooktops. And it does require very rigorous feasibility
24 and cost effectiveness studies.

25 And so, those have -- you know, we push the

1 envelope a lot to get to the point -- and I agree with
2 Mazi, it's a very strong code. It is going to help
3 scale up, it's really going to use the marketplace for
4 heat pumps. We live within a diverse state. You know,
5 people have brought up it's the fifth largest economy.
6 It's a very diverse state, lots of different climate
7 zones, lots of different energy usage patterns, and lots
8 of different technologies that will be solutions in
9 those, you know, colder, hotter climates, et cetera.

10 And so, you know, I'm confident in the analysis
11 behind this. But there are many jurisdictions in the
12 state beyond this very specific one on the Building
13 Energy Efficiency Standards that deal with air quality
14 directly, that deal with infrastructure planning. The
15 PUC does a ratemaking around electricity and gas, and
16 authorizes expenditures in the gas infrastructure. We
17 don't do that at the Energy Commission.

18 So, we're collaborating across all the agencies
19 to get a more integrated policy environment for shifting
20 to zero carbon technologies. And the Building Code
21 certainly is one tool within that toolbox. But it's
22 not, and it can't be actually, legally, the only tool we
23 use.

24 And so, while we certainly understand and
25 sympathize with the comment and the urgency, and I think

1 we all at the Energy Commission share it, we have to not
2 only use the Building Code appropriately, but we have to
3 work with the other agencies to do complementary things
4 in the Building Code to address these more structural,
5 societal, broader challenges that we have to really to
6 get to where we're going as a state.

7 So, that is happening for sure. And so, you
8 know, I just wanted to acknowledge those comments and
9 appreciate them, but also keep focused on the task at
10 hand here on the Building Code update. So, thanks.

11 MR. SHIRAKH: Thank you, Commissioner
12 McAllister. I just want to add on one more point. You
13 know, for some of these buildings with central boiler
14 and chiller systems, there simply is not a heat pump
15 alternative. And we looked at that one and there's
16 simply no current technology that's feasible or cost
17 effective. Thank you.

18 COMMISSIONER MCALLISTER: And also -- also, I'd
19 just add, also, finally that it is obviously -- maybe it
20 goes without saying, but I'll say it, it's obviously
21 legal and actually an easier path to comply with the
22 Building Code in many ways if you do build all electric.
23 And so, it's certainly -- you know, this is a minimum
24 standard we're talking about. So, you know, we do
25 anticipate that based on this, and as builders, and

1 contractors, and all the trades, and trade allies figure
2 out, and as consumers understand and really start to
3 understand that these technologies have great service
4 quality and that they are reliable, and they last a long
5 time, as everybody kind of gets on that track the
6 markets will really optimize this and we'll be able to
7 push further in fairly short order.

8 But I think, you know, the path towards this --
9 this opens a nice path towards, you know, electric
10 technologies and zero carbon building. So, I think I
11 just wanted to make that. We're not -- we're certainly
12 not prohibiting adopting electric. And, you know,
13 really this code promotes it strongly. So.

14 MR. BOZORGCHAMI: Thank you, Commissioner.
15 Commissioner, are you okay if we ask people only to
16 comment on what they've heard today kind of so far?

17 COMMISSIONER MCALLISTER: Yeah, I think --

18 MR. BOZORGCHAMI: Because I'm a little concerned
19 about the time schedule.

20 COMMISSIONER MCALLISTER: Remind us when the
21 next section needs to start, according to the agenda
22 that we have?

23 MR. BOZORGCHAMI: Well, we still have Danny,
24 who's going to be talking more about the mandatory
25 requirements for energy storage systems and electric

1 grid use. So, I do really want --

2 MR. SHIRAKH: And we still have PV systems, too.

3 MR. BOZORGCHAMI: And we have PV systems.

4 COMMISSIONER MCALLISTER: And we need to get
5 through all that by lunchtime, correct?

6 MR. BOZORGCHAMI: Yes, yes.

7 COMMISSIONER MCALLISTER: Okay.

8 MR. BOZORGCHAMI: And so, if --

9 COMMISSIONER MCALLISTER: So, I would just ask
10 people to be very targeted, as targeted as they can be.
11 And then, when we do open for general comments, which is
12 at the end of the day, is that correct?

13 MR. BOZORGCHAMI: Yes.

14 COMMISSIONER MCALLISTER: Okay, so at the end of
15 the day if you have broader comments, it would be really
16 helpful to save those until the end of the day when we
17 wrap up with general comments.

18 MR. BOZORGCHAMI: Yes, please.

19 COMMISSIONER MCALLISTER: We really need -- you
20 know, we really need to keep focused on the proposal in
21 front of us and specific changes that people would ask.

22 MR. BOZORGCHAMI: Yeah, and then if you wanted
23 to, you could also submit your comments through our
24 docket. We take those just as important, as serious as
25 we do with these comments that we're hearing today. So,

1 don't feel that if you send it to comments, it's going
2 to get lost in all the docketed information. No, we'll
3 take a serious look at those, too.

4 COMMISSIONER MCALLISTER: And, in fact, every
5 comment must be looked at --

6 MR. BOZORGCHAMI: Yes.

7 COMMISSIONER MCALLISTER: -- by the Energy
8 Commission and responded to. So, written comments will
9 absolutely get read and they will be considered in any
10 modifications that we were to make in the 45-day
11 language.

12 MR. BOZORGCHAMI: Yes. So, with that, Robert
13 Gould, I'm going to unmute you. Go ahead and state your
14 name and your affiliation.

15 Oh, Mary Dateo, I'm going to unmute you. Go
16 ahead and state your affiliation.

17 MR. GOULD: Hi. Hello?

18 MR. BOZORGCHAMI: Hello.

19 MR. GOULD: This is Robert Gould. You had
20 called on me. I just needed to unmute.

21 MR. BOZORGCHAMI: Sure, sure, sure, go ahead.

22 MR. GOULD: Can you hear me okay?

23 MR. BOZORGCHAMI: Sure.

24 MR. GOULD: You know, I came in a little late on
25 this, so I just wanted to say very quickly I understand

1 you're looking for more specific comments. So, I have
2 prepared testimony that I will submit the full comments,
3 if you could provide the link to do that. So, I'll be
4 briefer than what my intention was.

5 MR. BOZORGCHAMI: Thank you.

6 MR. GOULD: Just so you know, I'm an Associate
7 Adjunct Professor at UCSF School of Medicine. I work
8 with our program on Reproductive Health and the
9 Environment. And I'm speaking today, representing San
10 Francisco Bay Physicians for Social Responsibility,
11 which I'm President of, representing hundreds of health
12 professionals who speak for the health of our patients
13 and communities personally impacted by impacts of global
14 warming.

15 So, I think that's -- those issues have been,
16 you know, represented in the concerns of other people
17 who have spoken as well. But we would want to weigh in
18 our unequivocal support that the Energy Commission
19 should immediately move towards all building -- all
20 electric buildings in the 2022 Code cycle, which we
21 consider consistent with the positions of the California
22 Air Resources Board and the Bay Area Air Quality
23 Management District. Because we believe that, as they,
24 that all electric buildings are cheaper to build and
25 operate (inaudible) -- on the critical pathway to

1 protect us from our climate crisis.

2 So, I don't want to -- you know, I don't need to
3 I think reiterate, but I will submit for public comments
4 the wide variety of health studies that have been done
5 indicating the significant impacts of nitrous dioxide on
6 asthma, and children's health. But we would really want
7 to make sure that you understood that health
8 professionals in California, certainly in our
9 organization, strongly support the most rapid --

10 MR. BOZORGCHAMI: Thank you, Doctor. I need to
11 stop because it just passed the two-minute line.
12 Apologize for that.

13 MR. GOULD: Okay.

14 MR. BOZORGCHAMI: Thank you.

15 Mary Dateo, please unmute yourself and state
16 your name and affiliation. Thank you.

17 MS. DATEO: Hi, Mary Dateo, Member of Carbon
18 Free Mountain View and a recent converter to an all
19 electric home. It did take quite a bit of effort and
20 cost to make this conversion.

21 Part of the reason we're in a climate crisis is
22 that as a society we are inefficient, and waste energy,
23 and we waste resources. So, the state has set a goal to
24 be carbon neutral by 2045, which is just over two
25 decades away. And that means all of our buildings are

1 going to need to be off of fossil fuels by then.

2 Why we would we have gotten natural gas to be
3 connected to a building that we know will need to be
4 disconnected within 20 years? That is wasteful. And
5 with the climate change already increasing our
6 temperatures and exacerbating both droughts and fires,
7 that type of wastefulness is something we can't afford.

8 So, there are multiple studies showing that all
9 electric technology is cost effective in all California
10 climate zones, it's cleaner and healthier than natural
11 gas. Natural gas pollutes and it's relatively
12 inefficient technology.

13 Please don't delay. Please do move towards all
14 electric buildings in the 2022 Code cycle. Thank you.

15 MR. BOZORGCHAMI: Thank you.

16 Robin Moller, please unmute yourself and state
17 your name and affiliation.

18 MR. MOLLER: Great. Actually, this is David
19 Moller. I'm with the Climate Reality Project Bay Area.
20 Generally, I want to urge the Commission to adopt an all
21 electric baseline for all building types in the 2022
22 Code cycle, with exceptions based on need.

23 And I do want to thank the Commission and staff
24 for the considerable progress that has been made toward
25 this absolutely essential goal since the early

1 workshops. In particular, the requirement that mixed-
2 fuel buildings be electric really is a huge step
3 forward.

4 I am concerned that the requirements for heat
5 pump water heaters and heat pump space heaters are not
6 the default, with exceptions based on demonstrated need,
7 particular with regard to multi-unit dwellings.

8 There's been in the comments this morning a
9 couple of items brought up by staff that I want to
10 address. And one is regarding the availability of
11 technology. And I really want to urge the Commission to
12 adopt the standard with exceptions if the technology is
13 not available, rather than saying because the technology
14 is not available, we're not going to adopt the standard.
15 It should really be the flip.

16 A number of California cities, large cities,
17 including San Francisco, San Jose, and Oakland, you
18 know, are representing millions of people, millions of
19 residences, millions of businesses have adopted all
20 electric code requirements with exceptions. If it can
21 work for those people, in those communities, why not the
22 whole state?

23 It's very clear to me, and especially with the
24 Commissioner's comments there, that the CEC clearly
25 understands what's at stake here. We don't need to

1 describe that to you. But I urge you to complete taking
2 this important step while the opportunity is here.
3 Thank you very much.

4 MR. BOZORGCHAMI: Thank you, Mr. Moller.

5 Pierre --

6 COMMISSIONER MCALLISTER: I want to step in real
7 quick. Payam, I just want to -- I want to sort of just
8 comment on one thing. So, you know, I talked about
9 multiple jurisdictions and local governments do have
10 multiple jurisdictions. And for instance, San Jose's
11 ordinance that you referred to did not use their energy
12 efficiency ordinance capability authority to get to
13 where they wanted to go locally. The local
14 jurisdictions have a broad array of powers, police
15 powers, health and safety regulations.

16 So, they did -- San Jose in fact did not
17 actually ask us to kind of consider, look at what they
18 did because it's not an energy efficiency code. So, you
19 know, that's a -- so, we're all trying to work together
20 within our existing jurisdictions.

21 And again, the Air Resources Board, for example,
22 has jurisdiction within the Building Code, in Part 11
23 for example, that they, you know, can look at, and we
24 can work with them, and we will do this going forward to
25 look at how we can use other parts of the Building Code

1 to achieve these goals, you know, within our respective
2 authorities.

3 So, I think all your points are very well taken
4 and certainly we all want to move in this direction and,
5 you know, we're trying to do it in the best -- in the
6 best and most kind of -- the least sort of -- the most
7 streamlined and the most sort of straight forward,
8 clearest jurisdictional path that we can.

9 MR. BOZORGCHAMI: Thank you, Commissioner.

10 Pierre, go ahead and state your name and
11 affiliation.

12 MR. DELFORGE: Yeah, good morning Commissioner
13 and staff. My name is Pierre Delforge, with Natural
14 Resources Defense Council, NRDC.

15 So, we appreciate the Commission's hard work on
16 this code update. And given the time constraint, I'm
17 going to focus my comments on specific issues. And just
18 say at a high level that we strongly support all
19 comments made so far on the climate emergency, and the
20 need to move to clean electric technologies as soon as
21 possible in new construction.

22 For the voluntary flexible approach, as
23 currently proposed by the Commission, to work, you know,
24 that approach that encourages, but not require
25 electrification, it's essential that the incentives are

1 strong and consistent throughout the state. And also,
2 that we do more in larger buildings. Most of the focus
3 has been, you know, primarily to date on the smaller
4 buildings.

5 So, the top four issues I want to raise to
6 improve this code proposal is first, you know,
7 completely support, strongly support the proposal that I
8 heard this morning to switch Climate Zone 10 to have the
9 stronger baseline. Climate Zone 10, which is -- you
10 know, goes from East San Diego to Western Riverside
11 County is a high construction zone and it is important
12 to have a consistent incentive with the rest of the
13 state and not allow three more years of, you know, gas
14 construction and stranded gas infrastructure.

15 And the second point for improvement is around
16 nonresidential multifamily buildings. The proposed
17 baseline is dual-fuel in Climate Zone 1 and 16, which
18 means that heat pumps are not allowed prescriptively,
19 only under the performance path. And that would be a
20 significant barrier to adoption of heat pump technology,
21 which would expand gas infrastructure for another three
22 years. So, we should at the minimum allow,
23 prescriptively, heat pumps in those climate zones.

24 The third point is around -- still around
25 nonresidential and multifamily buildings is to expand

1 incentives for clean electric systems from just single
2 zone systems to multi-zone package systems, central
3 systems as soon as possible.

4 And fourth and last is back to single family,
5 and in the retrofit space allow heat pump water heaters
6 to be installed in retrofits in Climate Zone 16 under
7 the prescriptive path.

8 MR. BOZORGCHAMI: Thank you, Pierre.

9 MR. DELFORGE: Thank you.

10 MR. BOZORGCHAMI: We will -- go ahead and submit
11 your comments in writing and we'll take a look at those
12 as soon as the --

13 MR. SHIRAKH: Yeah, Pierre, that would be nice
14 if you do that. Just one quick comment. You said these
15 requirements are for smaller buildings. That is not the
16 case for buildings that you see here, retail, grocery,
17 office, banks. There is no building size limit.

18 There is a size limit on the type of equipment
19 that's impacted, the 10-ton. And that's basically a
20 state of technology thing that's not -- that we were
21 trying to capture the benefits from the packaged units
22 and so that's where that size limit came. But there is
23 no building size limit for these recommendations. Thank
24 you.

25 MR. BOZORGCHAMI: Thank you, Pierre.

1 Ronni Solman, I'm going to unmute you. Go ahead
2 and state your name and affiliation.

3 MS. SOLMAN: Hi. Hi, my name is Ronni Solman,
4 and I'm with SO CAL 350 Climate Action. I'd like to
5 talk today about how -- I'm also a retired teacher with
6 L.A. Unified.

7 I feel that the CEC should move more
8 aggressively towards adopting a single all electric
9 baseline, as others have said. The draft code that
10 you're proposing would require one all electric
11 appliance for residential buildings, multifamily and
12 small commercial buildings, and all residential
13 buildings would be required to be all electric ready.

14 And this is an important first step. But like
15 others have said, I think it's not aggressive enough for
16 now. It would be a substantial cost savings if we would
17 require all electric appliances for both space and water
18 heating and it would achieve not only a substantial cost
19 savings, but it would avoid gas lines being put in which
20 would be safer, and avoid the dangers, and reduce the
21 stranded asset risk of using fossil fuels.

22 It would also reduce construction costs. And I
23 think that the gas industry, frankly, is the obstacle in
24 the way of progress because the gas industry doesn't
25 want to lose its business model. And an industry-led

1 opposition campaign has been spreading false information
2 about the costs and the public support of
3 electrification.

4 So, I just don't think we should have an
5 incremental approach. I think it's an emergency and we
6 just don't want to stay with gas.

7 Finally, we have leadership in the White House
8 that will support a radical approach to electrification
9 nationwide, which is what our planet needs. And
10 California has been a leader in the past, let us lead
11 now. Please alter the proposal to adopt a single all
12 electric baseline for all building types now, rather
13 than later. Thank you.

14 MR. BOZORGCHAMI: Thank you, Ronni.

15 Next, Mary did -- I'm going to -- give me one
16 second, I apologize. Mary, you had your hand raised.
17 Did you want to speak or did you have already --

18 MS. DATEO: Oh, my apologies. I already spoke.

19 MR. BOZORGCHAMI: Okay, thank you.

20 Sven, I'm going to unmute you. Go ahead and
21 state your name and affiliation. Sven, you need to
22 unmute yourself, first.

23 MR. THESEN: Good morning. Thank you. My name
24 is Sven Thesen. I'm a chemical engineer, business
25 owner, dad, and man of faith. I'm speaking on behalf of

1 Project Green Home, my children, your children, near
2 about everybody's children. And I'm asking, begging,
3 cajoling, and a little bit of shaming the CEC to require
4 all electric buildings in the 2022 Code cycle.

5 Like Andrew McAllister, my family has lived and
6 enjoyed the health, convenience, and cost savings of an
7 all electric, net zero energy, beyond platinum lead
8 passive home for the last ten years.

9 To say that this sort of code, that the all
10 electric -- that all electric buildings are not cost
11 effective and that the technology is not there is really
12 not true.

13 My relatives in Norway, they are in and enjoying
14 all electric buildings, cost effective all electric
15 buildings right now. So, not to be insulting, but to
16 say please stop hiding behind we can't because of the
17 regulatory framework and the way we've designed this to
18 not permit this to go forward.

19 MR. BOZORGCHAMI: Thank you.

20 MR. THESEN: My wife's a physician, this is in
21 the vernacular, regularly cuts out skin cancer. She
22 does not incrementally cut out the skin cancer, like 80
23 percent of it and leave 20 percent of the cancer in. To
24 paraphrase our governor, she cuts the whole damn thing
25 out.

1 So guys, Mazi, Andrew, most of us on this call,
2 we're old and we're going to be dead when this goes
3 down. We've already lost four percent of the state's
4 acreage to fire in the last ten years. What sort of
5 legacy do we want to leave? We have the technology,
6 it's cost effective, we can do this. Be strong, be
7 bold, be proud of yourselves. Thank you.

8 MR. BOZORGCHAMI: Thank you, Sven.

9 Next, Christy, I'm going to unmute you. Go
10 ahead and state your name and your affiliation, please.

11 MS. ZAMANI: Good afternoon, Commissioners. My
12 name is Christy Zamani. I'm the Executive Director for
13 Day One. I've been in public health for over 30 years.

14 I would like to quickly express my support for
15 moving towards adopting a single all electric baseline
16 for all building types. We know all electric is simply
17 better for public health and our planet.

18 I'll tell you, from working with low-income
19 communities of color, I can vouch that the pandemic has
20 only highlighted the systemic racism and disparity that
21 have impacted low-income communities for decades.

22 Crammed families in single-unit apartments don't have
23 the luxury to quarantine, be socially distant, or have
24 access to clean fresh air.

25 Children living in areas of high levels of

1 outdoor air pollution are low-income African Americans
2 and Hispanic children with asthma, who are
3 disproportionately burdened by indoor air pollution from
4 gas stoves.

5 Again, as a local nonprofit, like all of us
6 we've had to hustle and get creative to make it through
7 the pandemic. And even though I know there's barriers
8 right now, I think we have enough wisdom and
9 intelligence amongst all of us to get there. So, I
10 think this is the time for all of us to come together to
11 come up with solutions so we can start moving forward.
12 Thank you for your time.

13 MR. BOZORGCHAMI: Thank you, Christy.

14 Jenny Green, I'm going to unmute you. Go ahead
15 and state your name and affiliation.

16 MS. GREEN: Hi, my name is Jenny Green. I live
17 in San Jose and I'm speaking on behalf of Mothers Out
18 Front, a growing grassroots movement of 35,000 mothers
19 and others mobilizing for a livable climate for all
20 children. We have over 6,000 California supports. And
21 we urge you to adopt an all electric requirement for all
22 building types in the 2022 Code.

23 May Californian communities have already
24 implemented all electric codes successfully on the local
25 level and there are both health and climate reasons to

1 do it. And previous speakers have already covered that,
2 so I'll just add a couple of quick things.

3 Last week, the International Energy Agency
4 issued a report on what the world needs to do to reach
5 net zero emissions by 2050. And one of their points was
6 that within the next few years we need to stop
7 installing new gas-powered appliances in buildings.

8 The CEC needs to enact an all electric code now,
9 especially because the rest of this country looks to
10 California to lead on climate. We already have the
11 technology to do this. And as a California resident and
12 especially as a mother I'm horrified that you're
13 continuing to delay. I can't understand who you are
14 trying to help, except the gas companies by delaying the
15 transition to an all electric code.

16 The quicker you switch to an all electric
17 standard, the more money you are going to save
18 California families. My family has been slowly
19 switching over to electric appliances and it would have
20 been so much cheaper if we could have bought a house
21 that was all electric from the beginning.

22 If you have a house that runs on gas, switching
23 out the old gas appliances does cost money, and it's
24 money I wish I could be spending on something else. I
25 don't see why you'd choose to put more families in this

1 position and at some point having to spend money to
2 remove gas from their homes, or businesses having at
3 some point to spend money to remove gas from their
4 business.

5 Mothers Out Front is asking you to step up now.
6 It makes no sense to continue to build new buildings
7 with outdated gas infrastructure. Please revise the
8 2022 Code to require all electric buildings only.
9 Thanks.

10 MR. BOZORGCHAMI: Thank you, Jenny.

11 Helena, I'm going to unmute you. Go ahead and
12 state your name and affiliation.

13 MS. BIRECKI: Thank you very much. Can you hear
14 me?

15 MR. BOZORGCHAMI: Yes.

16 MS. BIRECKI: Great. Hello Commissioners. I'm
17 Helena Birecki and I'm a lifelong California resident
18 and a member of the San Francisco Climate Emergency
19 Coalition.

20 I want to strongly support all of the comments I
21 have heard thus far. And I want to specifically speak
22 to the Commissioners about what I've heard you say. You
23 say your hands are tied. You're only responsible for
24 what's directly in the building. I understand the
25 emissions coming directly from the buildings. I

1 understand that those are the constraints you've been
2 put in historically.

3 But we are in an emergency and we have seen
4 through COVID that when the state takes an emergency
5 seriously, it can do wonders. In this case, in the
6 climate emergency, our Governor Newsom stated: This is
7 a damn climate emergency. Our goals are inadequate to
8 the reality we're experiencing.

9 Let's make them adequate. And I urge you to ask
10 the governor to allow you to consider the emissions from
11 the well that feeds the pipeline, that feeds the water
12 heater. Because to say that, oh, we're only responsible
13 for what happens inside the building is just like
14 somebody shooting a gun and saying they're not
15 responsible for where that bullet ends up.

16 You turn on the stove in your house, if it's
17 gas, and it's pulling from the pipeline, which then
18 creates more demand in the well.

19 So, the buildings are part of the systemic
20 problem. And if you truly believe that we are in a
21 climate emergency, and if our governor truly believes
22 that we are in a climate emergency we should treat it as
23 one, and make all electric new building the baseline in
24 the 2022 code immediately. Because it is what we need
25 to do.

1 As somebody else mentioned, the last fire season
2 was so disastrous for so many families. The direct
3 fires, the smoke that caused thousands of people to go
4 to the emergency rooms with asthma attacks and --

5 MR. BOZORGCHAMI: Sorry, Helena, I'm going to
6 have to stop you because we have to keep on with the
7 time schedule. Thank you.

8 MS. BIRECKI: Thank you.

9 MR. STRAIT: One thing, as a quick courtesy I'm
10 going to go to the typed questions for a moment. And if
11 you have technical questions, rather than general
12 comments or, you know, support for the electrification
13 comments thus far please type them into chat, and we
14 will try to prioritize technical questions about the
15 standards as a part of this hearing.

16 Also, do we have -- can we get a general time
17 check? I know we'll need to move on to some other
18 presentations.

19 MR. BOZORGCHAMI: Yeah, we're out of time
20 technically, because we're almost hitting 11:00 and we
21 still have the PV and storage still to go, and then --
22 and I understand everybody's concern. We've heard your
23 concern. But if people would like to talk about it over
24 and over again, that's fine with me.

25 But in the meanwhile, we will be going farther

1 in the evening because we do have to finish what we have
2 set for today.

3 MR. STRAIT: Yeah. So, there are -- so, one
4 question that's in the typed questions right now is from
5 Marie Chen, who asks: With respect to alterations are
6 there going to be standards that bridge to the stud
7 versus replacement of appliances, possibly based on cost
8 of alternation square footage percent, et cetera.

9 I think it's a follow on for Mazi's answers.

10 MR. SHIRAKH: So, again for alternations the
11 current language, I believe, and I need to look at it
12 more carefully, it basically -- if you're replacing an
13 appliance, like an air conditioning, you can replace it
14 with a similar appliance.

15 The difficulty in alterations is that, you know,
16 the heat pump is not simply a drop in. For an AC, you
17 need additional wiring. You know, in the case of water
18 heaters the same thing, you need additional wiring.
19 And, you know, the piping might be different.

20 So, yeah, the cost effectiveness is very
21 different for alterations. So, those would have to be a
22 separate consideration in the future to determine what
23 may or may not be cost effective.

24 But has I've shown in the slides, the cost
25 effectiveness was only for newly constructed buildings.

1 So, I mean that's all I have on this topic.

2 MR. STRAIT: All right. Let's see, so Cynthia
3 Mahoney of Climate Health Now is asking a question about
4 our authority versus the authority of other agencies.

5 Russ King is asking a procedural question about
6 the docketing of comments.

7 Do we want to -- again, do we -- I'm going to
8 keep the focus on technical questions about the
9 proposal. But I will at least answer that for folks who
10 have docketed comments in that prerulemaking language,
11 or in that prerulemaking period, those have been
12 considered by staff as we developed the rulemaking
13 materials. If there are additional comments you would
14 want to make on the rulemaking materials in the formal
15 period, you would please put those comments into the
16 record for the rulemaking period.

17 You know, there's not a need to re-docket
18 everything that was on the prerulemaking docket. But if
19 there are additional follow-up comments you feel are
20 appropriate based on the content of the 45-day language,
21 then please put those comments on the 45-day public
22 comment period.

23 Mark Palmer has --

24 COMMISSIONER MCALLISTER: Peter, I wanted to
25 just --

1 MR. STRAIT: Okay.

2 COMMISSIONER MCALLISTER: This is Commissioner
3 McAllister. I just wanted to just say on the authority
4 question, I think this is about the language within the
5 regulatory that this process has produced, and so I
6 think we need to keep focused on that task at hand right
7 now. And our authority question I think is better -- is
8 really something that we can, you know, follow up with
9 after the conversation, after today's hearings. But I
10 think it's not productive to get into a discussion about
11 the various authorities of the agencies in California in
12 this particular forum, which is much more specific than
13 that.

14 MR. STRAIT: All right. Ann Harvey asks: If
15 the 30 or 15 years lifecycle calculation, whether it
16 includes bringing gas lines to the building and to the
17 development when applicable?

18 MR. SHIRAKH: So, again what we considered in
19 our cost effectiveness is the costs for appliances, and
20 plumbing, and other infrastructure that's within the
21 building between the meter and what's in the building.
22 So, those are the costs that we considered. Not any
23 other savings or additional costs that are on the other
24 side of the meter.

25 MR. STRAIT: Someone was asking if we're going

1 to go back to verbal comments. We are. That's the last
2 thing in here.

3 Mark Palmer notes the chat is disabled. Chat is
4 reserved for us to communicate in typed messages as
5 needed to folks that are attending. But correct, the
6 chat is disabled.

7 And we can go back to raised hands, now.

8 MR. BOZORGCHAMI: Okay, thank you Peter.

9 So, next in line is Jackie Garcia Mann. If you
10 like, go ahead and unmute yourself, and state your name
11 and --

12 MS. GARCIA MANN: Hi, I'm Jackie Garcia Mann,
13 and I'm a representative of 350 Contra Costa. And I
14 just really want to support what everyone has said, and
15 especially Helena. Because, you know, as you -- you
16 can't underestimate the system level impacts of your
17 choices in these ordinances right now. And you have a
18 great influence in what will be kind of in style, what
19 people will want in their homes.

20 And as someone who has built a minor
21 subdivision, it's very important what is in style, what
22 people want. But part of what people want is what
23 they're allowed to have.

24 So, I heard you kept saying in places that there
25 was a choice of what the designer or building owner

1 wants. But truthfully, you are part of the process
2 driving that and the -- what clearly everyone is asking
3 for is an all electric ordinance so that everybody would
4 have the same thing, and we don't have some people who
5 are holding out for gas because they think gas is
6 superior.

7 So, I just want to reiterate the need for a fast
8 change. And that your Building Codes have system level
9 impacts and you don't operate in a vacuum, and it's
10 really disingenuous to say you're not influenced by
11 other things because I'm sure building trades, and
12 fossil fuel industries influence when they say, no, we
13 want to keep gas in buildings. So, they have some kind
14 of influence.

15 Anyway, I hope you can move things along really
16 fast. Thank you.

17 MR. BOZORGCHAMI: Thank you, Jackie.

18 COMMISSIONER MCALLISTER: I'm going to suggest
19 that -- do we have any estimate of how many raised hands
20 we have?

21 MR. BOZORGCHAMI: We have nine more.

22 COMMISSIONER MCALLISTER: I just want to try to
23 keep things on schedule.

24 MR. BOZORGCHAMI: Should we --

25 COMMISSIONER MCALLISTER: Let's go to one

1 minute. And if people want to speak more extensively
2 than that, perhaps we can accommodate at the end of the
3 day as we run into the evening, perhaps, so in general
4 comments.

5 MR. BOZORGCHAMI: Sure.

6 COMMISSIONER MCALLISTER: But I think for
7 targeted comments about what's been presented so far,
8 invite people to make those comments. But, of course,
9 anybody can speak as they like, but we're going to have
10 to reduce to one minute in order to keep things moving
11 along.

12 MR. BOZORGCHAMI: Sure. Okay.

13 COMMISSIONER MCALLISTER: Thanks.

14 MR. BOZORGCHAMI: Thank you, Commissioner.

15 Sam, go ahead and unmute yourself, and state
16 your name and affiliation.

17 MR. JAMMAL: Thank you. Sam Jammal, I'm with
18 Schlegel and Associates, here on behalf of SERES
19 (phonetic), which is a nonprofit sustainability advocacy
20 organization. SERES runs a business innovation network
21 of 70 major businesses, including a number of companies
22 that have headquarters and interests in California.

23 We've filed letters in support of an all
24 electric code in December, and we had 55 companies sign
25 on to another letter supporting just broader building

1 electrification, building decarbonization. Want to just
2 first quickly thank the Commissioner for all the hard
3 work you guys have done. We know how hard this is and
4 you're trying to balance a lot of different interests.

5 We also want to say that the business community,
6 we're ready to do this. We're ready to electrify our
7 buildings, we're ready to decarbonize. We believe that
8 the market's ready. We believe there are options for
9 consumers. We see a lot of the companies we work with
10 already taking these steps.

11 And so for us, we want to just make sure we do
12 this in a cost effective way, which means doing the all
13 electric code in 2022 so that we don't lock in these
14 stranded assets down the road when we do get to
15 electrification or --

16 MR. BOZORGCHAMI: Thank you. I apologize, I'm
17 going to have you submit yours in writing, if possible.

18 MR. JAMMAL: Yeah, will do.

19 MR. BOZORGCHAMI: Thank you so much.

20 Jonny, go ahead and state your name, and
21 affiliation.

22 MR. KOCHER: Hey there, thank you for the
23 opportunity to comment. My name is Jonny Kocher and I
24 work in the Oakland Office of Rocky Mountain Institute.

25 Regarding Commissioner McAllister's comment,

1 many of us understand the limits of the Warren/Alquist
2 Act and we know that heat pumps save energy. They're
3 about three to four times as energy efficient as natural
4 gas furnaces.

5 We also understand that TDV is an extremely
6 complex metric for energy efficiency, but it also
7 includes a carbon metric which will likely increase as
8 our society realizes the dire costs of the climate
9 crisis.

10 My analysis of the Harvard T.H. Chan School of
11 Public Health Study Data found that burning natural gas
12 in buildings costs the State of California \$4.9 billion
13 a year in health costs annually. Once we start to
14 incorporate these costs into our TVD metric, it's likely
15 that we'll show that all electric buildings have always
16 been cheaper to build than natural gas buildings.

17 It's time for the CEC to go all electric in 2022
18 and stop installing fossil fuel infrastructure that we
19 know we'll have to abandon in the future. Thank you.

20 MR. BOZORGCHAMI: Thank you. Thank you, Jonny.

21 Kat Selm, I'm going to unmute you. Go ahead and
22 unmute yourself. State your name and affiliation,
23 please.

24 MS. SELM: Hi. Can you hear me?

25 MR. BOZORGCHAMI: Yes.

1 MS. SELM: My name is Kat Selm and I'm here
2 representing the Canejo Climate Coalition. I want to
3 echo all the other great speakers here today when I say
4 we believe the CEC should move towards all electric
5 buildings in the 2022 Code cycle. Partial
6 electrification does not go far enough in addressing the
7 climate crisis we find ourselves in, and it puts us out
8 of step with the state and the nation.

9 The Biden campaign has pledged to cut building
10 sector emissions in half by 2035 and to eliminate all
11 power sector emissions by the same year.

12 Fellow state level agencies, like CARB and the
13 Bay Area Quality Management District, have submitted
14 letters to you and made oral statements that the CEC
15 should move to all electric in 2022.

16 Your own building decarb assessment says: Newly
17 constructed buildings have the lower decarb costs and
18 that accelerating efficient electrification of building
19 end uses in both new and existing buildings represents
20 the most predictable pathway to achieve deep reductions
21 in building emissions.

22 Perhaps the most important point to me, as I
23 live somewhere that's currently working on a land use
24 map update that incorporated several RENA (phonetic)
25 cycles worth of housing allocations is a point also made

1 in your decarb assessment. That building
2 decarbonization --

3 MR. BOZORGCHAMI: Ms. Selm, I need to stop you
4 and have you submit your comments in writing. Thank
5 you.

6 MS. SELM: Okay.

7 MR. BOZORGCHAMI: Lauren Collum, I'm going to
8 unmute you. Go ahead and state your name and
9 affiliation.

10 MS. COLLUM: Hi. I'm Lauren Collum on behalf of
11 Sierra Club California, representing 13 local chapters
12 in California and half a million members and supporters
13 throughout the state.

14 I'd like to thank the Energy Commission for the
15 work they've done on the 2022 Energy Code. And while I
16 believe that the proposed 2022 Building Code update is a
17 step in the right direction to encourage electrification
18 with these baseline changes, and recognize that a
19 significant effort has gone into this, we believe that
20 this latest proposal can go even farther to cut the
21 pollution from gas appliances that are threatening the
22 health and safety of Californians, and fueling the
23 climate crisis.

24 So, I'd also like to just echo and support the
25 comments of those speaking before me that were speaking

1 to the climate crisis and health concerns associated
2 with continuing to expand the gas system, and building
3 new fossil fuel homes.

4 As you know, the International Energy Agency
5 report, released last week, set forth the necessary
6 steps that we need to take to achieve a zero carbon
7 future. And among those recommendations is a moratorium
8 on the sales of fossil fuel boilers.

9 The CEC still has time and a huge opportunity to
10 strengthen the current proposal by incorporating the
11 IEA's recommendations.

12 And we'll be including more details in our
13 written comments. But in sum, Sierra Club urges the CEC
14 to strengthen the current proposal with stronger
15 electric standards. Each measure that is strengthened
16 and moved in the direction of --

17 MR. BOZORGCHAMI: Lauren, thank you so much.

18 MS. COLLUM: Yeah.

19 MR. BOZORGCHAMI: Thank you. Thank you.

20 Elena, I'm going to unmute you. Go ahead and
21 state your name and affiliation. Elena, you need to
22 unmute yourself, I'm sorry.

23 MS. ENGEL: Yes, I just did. Elena Engel, I'm
24 with 350 San Francisco. Everyone has said it all,
25 already. Commissioners, we all know that burning

1 methane is inconsistent with a livable planet. If you
2 wait three more years, that does not make methane go
3 away, it does not help at all. So, our future literally
4 is in your hands. Ban natural gas in all new buildings
5 today, go all electric. Thank you.

6 MR. BOZORGCHAMI: Thank you, Elena.

7 Paul Wermer, I'm going to unmute you. Go ahead
8 and state your name and your affiliation.

9 MR. WERMER: Yes, hello. My name is Paul Wermer
10 and I'm with the San Francisco Climate Emergency
11 Coalition.

12 I would like to go on a slightly different
13 direction question about the cost effectiveness
14 decisions. And it is a question for you. How can gas
15 be cost effective over a 30-year residential lifetime if
16 we're talking about a 2022 Building Code, and in the 30-
17 year lifecycle cost or 30-year lifespan of the cost
18 model they will have to convert and replace the existing
19 gas-fueled appliances if we are going to meet the drop
20 dead of 2050, and the much more common expectations of
21 2040 to 2045 for no more natural gas use in buildings?

22 Even for the commercial, 50 years, that's a
23 problem.

24 MR. BOZORGCHAMI: Mr. Wermer, I need to stop.
25 Go ahead and submit your comments to the docket.

1 MR. SHIRAKH: And I think actually --

2 MR. BOZORGCHAMI: Yeah, I was going to have Mazi
3 answer that question.

4 MR. SHIRAKH: We found heat pumps to be cost
5 effective that's what we are recommending for many of
6 these buildings so --

7 MR. BOZORGCHAMI: Also, as a note for, we are --
8 we do have electric-ready requirements when gas
9 equipment is installed, and those are what's addressing
10 the cost of retrofitting in the future, at least in
11 part.

12 MR. SHIRAKH: So, where we didn't in the
13 commercial buildings, and the high rise multifamily we
14 didn't recommend heat pump that was for water heating,
15 and mostly because there's really technical barriers.
16 But in all space heating applications, where most of the
17 building load and emission savings are coming from, we
18 have established heat pump baselines and they are cost
19 effective. Thank you.

20 MR. BOZORGCHAMI: Thank you, Mazi.

21 Commissioner, we have three more raised hands,
22 Elise, Wes and Jacob. And I recommend after those three
23 we move on to the next topic.

24 COMMISSIONER MCALLISTER: Agreed. Thanks
25 everyone for your contributions and your comments, we

1 really appreciate it.

2 MR. BOZORGCHAMI: So, go ahead, Elise, and state
3 your name and affiliation please. Thank you.

4 MS. KALFAYAN: Yes, thank you. Hello, my name
5 is Elise Kalfayan. I represent the Glendale
6 Environmental Coalition which is in favor of building
7 electrification throughout California and updating the
8 Building Code in 2022 to reflect that.

9 I'm a homeowner. Just three years ago, when I
10 was looking to replace my gas water heater I discussed
11 alternatives with contractors and none of them gave me
12 information about electric-powered heat pump water
13 heaters. We need the CEC to update the Building Code so
14 that all contractors become educated on these climate-
15 protecting alternatives. We need fast change in the
16 code so that good information is available to all
17 consumers, contractors and builders. Thank you.

18 MR. BOZORGCHAMI: Thank you, Elise.

19 Wes, go ahead and I'm going to unmute you.

20 MR. REUTIMANN: Hi, good morning Commissioners
21 and staff. My name is Wes Reutimann, speaking on behalf
22 of Active San Gabriel Valley. We're a place-based
23 nonprofit committed to promoting sustainability, equity,
24 and livability in the San Gabriel Valley and East Los
25 Angeles County.

1 While a step forward, staff's recommendation as
2 proposed is also a significant missed opportunity. It
3 represents two to three years wasted, time that we do
4 not have to spare. It also represents years of time
5 that a stronger policy could accelerate change in other
6 states around the U.S., as well as in other countries.

7 Finally, it represents lifelong health impacts
8 to the many Californians who will be unnecessarily
9 exposed to increased indoor air pollution from methane.

10 As a community-based organization, we strongly
11 urge you to bring the benefits of reach codes to the
12 entire state. Here in Southern California, many, many
13 disadvantaged communities do not have the benefits of
14 these code updates and it's incredibly difficult to move
15 them forward since they tend to be under-resourced and
16 understaffed.

17 We hope and join many of the partner
18 organizations today in urging you to move towards an all
19 electric building standard in 2022, not in 2025.

20 Thanks.

21 MR. BOZORGCHAMI: Thank you.

22 So, right now that's all the comments we're
23 going to take on this. I encourage if any further
24 comments do come in, please submit them in writing to
25 us.

1 And one thing I do encourage, if your
2 association and your sister associations could submit
3 maybe one comment and have everyone sign the bottom, so
4 we know exactly who has the same concerns that would be
5 much more appreciated. I thank you so much.

6 With that, next I'm going to let Mazi take over
7 and present on the PV and battery storage systems. Go
8 ahead, Mazi.

9 MR. SHIRAKH: Good morning again. This is Mazi
10 Shirakh. And so, this time we're going to be talking
11 about prescriptive requirements for photovoltaic systems
12 and battery storage systems.

13 When it comes to reducing emissions from our
14 buildings, PV and battery storage systems are just as
15 potent as the heat pump technologies that has been
16 demonstrated in the 2019 Standards, when we first
17 introduced PVs into the Building Code.

18 So, the current 2019 Standards introduced for
19 the first time in the Building Code and planned PVs into
20 the buildings for low-rise residential, which is single
21 families and multifamilies that are three stories and
22 lower.

23 And they were basically sized to displace the
24 annual kilowatts of a mixed-fuel home that conformed
25 with Net Energy Metering, or NEM, rules. And a rough

1 average statewide was about a 3 kilowatt PV system and
2 this size actually varies by the size of the house, and
3 the climate zones. So, I mean that's just 3 is an
4 average.

5 We found PVs to be cost effective in all 16
6 climate zones, even if the exports, the hourly exports
7 were compensated at avoided cost. And which is probably
8 a likely future for where NEM is headed. Time will
9 tell. This recommendation resulted in large energy and
10 CO2 emission savings.

11 For the 2019 Standards, battery storage was an
12 option and could receive a substantial compliance credit
13 but it's paired --- when it was paired with a PV system,
14 but it was not a mandatory or prescriptive requirement.

15 The 2022 Standards proposes to expand the PVs
16 paired with battery storage systems to multifamily and
17 selected nonresidential buildings.

18 So, for the current cycle update we're proposing
19 what we call a lean and mean solar and storage, and I'll
20 define what we mean by lean and mean in the next slide.

21 For consideration are high-rise residential four
22 or more habitable stories and selected nonresidential
23 buildings. This includes office, retail, grocery,
24 school, warehouse, and will also have minimal PV
25 requirements that are similar to warehouses for

1 auditoriums, convention centers, hotel/motels, library,
2 medical/clinic, restaurant and theater.

3 What we mean by lean and mean is basically a
4 battery storage system that is designed not to offset
5 the entire electric load, annual load of the building.
6 Rather, it's designed to minimize exports to the grid
7 and maximize self-utilization, and use control
8 strategies that brings the maximum benefits to the
9 occupants, and the grid, and the environment.

10 So, you know, we limit the hourly exports to 20
11 percent of the total PV generation without batteries.
12 And then, once we add batteries the exports are limited
13 to 10 percent of the total generation or less. We found
14 this strategy to be cost effective in most buildings and
15 climate zones, even with exports at avoided costs, which
16 may be a like NEM3 scenario. But, you know, the CPUC is
17 considering comments on NEM3 and they may have a
18 decision in the near future. Time will tell whether
19 they will reduce the compensation for exports.

20 So, there are some exceptions for PVs and
21 battery storage systems. You know, it's like any
22 system, you know, one-size-fits-all doesn't work. So,
23 we have introduced this concept of solar access roof
24 area or SARA. And so, I will have a slide to explain
25 what the solar access roof area is.

1 But basically, these are all the areas on the
2 roof and around the building that have suitable solar
3 access for PVs. And so, where PVs can be installed and
4 have an effective generation.

5 So, there are some buildings where SARA is
6 limited to 3 percent or less of the conditioned floor
7 area, that's what CFA is. Think about those tall
8 buildings in downtown San Francisco, or any city, where
9 you have the tall buildings with very limited roof area.
10 It comes to a point where PV is basically -- gets so
11 small compared to the building load that it is trivial.
12 So, there is an exception for that.

13 There is an exception for PV systems less than 4
14 kilowatts. I mean these are really small, basically
15 residential PV systems, now, that basically are not
16 sufficient for nonresidential buildings.

17 We have an exception for areas of buildings with
18 high snow loads. This was -- we received many comments
19 on this after the adoption of the 2019 Standards, so
20 we've worked that into an exception for this round.

21 There's no PV in a multi-tenant buildings in a
22 jurisdiction or area where there's no virtual net
23 metering or community solar program. So, if you have a
24 multi-tenant building in a jurisdiction, and there is no
25 virtual net metering that the IOUs offer, or there is no

1 community solar program there is no PV requirement.
2 Because the only other alternative would be in a multi-
3 tenant building where all the PVs and battery storage
4 system would have to be direct wired to each dwelling
5 unit, and that is not cost effective.

6 There will be no battery storage requirements in
7 buildings and tenant lease spaces that are less than
8 5,000 square feet.

9 And no battery storage requirement if the
10 battery size ends up to be less than 10 kWh, which is
11 basically one battery pack. So, we get into a fraction
12 of a battery less than that.

13 There's no battery storage for offices, schools
14 and warehouses in Climate Zone 1. And Climate Zone 1
15 is, again that's North Coast California, just below
16 Oregon, Humboldt County. It tends to be a little bit
17 more foggy than other climate zones, and that's why the
18 cost effectiveness for PVs and battery storage were a
19 little bit closer or less than the required margins.

20 So, this concept of solar access roof area, or
21 SARA, you know, we've introduced that section to PV
22 requirements for all building types, single family,
23 multifamily, and nonresidential buildings. It clarifies
24 where the PVs should go and it actually replaces many of
25 the existing exceptions that are in the 2019 Code.

1 So, what does SARA include? It includes
2 building's roof space and all areas of roof on covered
3 parking areas, carports, and all newly constructed
4 structures that are capable of supporting PVs. So, in
5 the gap. You know, this complex it's got a rooftop,
6 it's got carports, community buildings. If they are
7 there and they can structurally support PV system, and
8 they have favorable solar access that's greater than 70
9 percent, then those are all fair game for solar
10 installation.

11 SARA does not include any areas that have less
12 than 70 percent of annual solar access. This could be
13 sloped roofs that are facing north, or areas of the
14 building that are impacted by obstructions that may be
15 external to the building that's casting a shade, or
16 obstructions that are part of the building design and
17 elevation features.

18 So, again, these set of requirements that you
19 see here are specific to Section 140.10, which is the
20 nonresidential section. There are slight variations
21 between these requirements for other building types,
22 like low-rise residential.

23 Storage can help manage the building electricity
24 and the demand on grid. I mean, storage can play really
25 a pivotal role. They can store the PV -- the

1 electricity that's generated in the middle of the day
2 from photovoltaic systems, which is very clean energy,
3 and make it available to the building and the grid
4 during the evening ramp when the emissions actually go
5 up, and so do the costs.

6 So, carefully using the battery storage system
7 can really help meet our policy goals, while also
8 helping to save costs for the building, and help the
9 environment. They provide flexibility to avoid
10 basically sending the rooftop electrons back to the grid
11 in the middle of the day, the so-called duck curve. And
12 they can all help lower electricity bills.

13 They can also be a tool in helping us achieve
14 the SB 100 goals of, you know, a clean grid by 2045.
15 And it does enhance the reliability of the grid during
16 high peak demands and in the other areas where, you
17 know, the grid stress, you know they can use this as a
18 resource to meet demand. It does reduce emissions from
19 the building, CO2. And it does help modern buildings to
20 be more resilient to wildfires and PSPS events, the
21 public shutoff events that happens in the summertime,
22 you know, when we may have wildfires.

23 We have may an attempt to clarify some of the
24 exceptions that we've worked into the 2019 Standards.
25 You know, subsequent to the adoption and implementation

1 of the standards, you know, we learned there was many
2 questions came to the Commission and so we've tried to
3 basically take advantage of those, and improve our
4 language.

5 And again, one initiative we took was the
6 introduction of this solar access roof area, or SARA,
7 which clarifies what happens when this area, SARA, is
8 greater than 80 square feet, but smaller than the area
9 required by full NEM compliance. You know, the 2019
10 Standards is kind of silent on this issue that you may
11 have areas on the roof that are more than 80 contiguous
12 square feet, but it doesn't support the full NEM
13 compliance PV size. So, it kind of left that silent.

14 Now, this change will basically clarify that if
15 you have more than 80 square feet and less than the full
16 NEM, you just put as much PV as possible within that
17 solar access roof area.

18 There's a new exception for PV systems that are
19 less than 1.9 kilowatt DC. These basically comes in
20 increasingly smaller PV system and the cost goes up
21 because you have certain fixed costs that basically are
22 going to be there independent of the size.

23 This also addresses the ADU issues that came up,
24 auxiliary dwelling units.

25 As a result of this enhancement, we're able to

1 remove three exceptions. Exception 2, which was an
2 exception for Climate Zone 15. Climate Zone 15 is the
3 desert, Palm Springs, very hot, very large PV system
4 climate. Exception 2 was instituted to address certain
5 spatial issues. We no longer need that with this
6 introduction of the SARA concept.

7 We also removed Exception 3 for 2-story
8 buildings and Exception 4 for 3-story buildings for the
9 same reason.

10 We have a new Exception 3 for areas in high snow
11 loads. Again, these are for Section 151(c)14. That's
12 the low-rise residential building or single family in
13 this case.

14 We clarified that occupied roofs, as specified
15 in Title 24, Part 2, will not be considered as part of
16 SARA. So, occupied roofs are flat roof areas typically
17 used in multifamily buildings and certain nonresidential
18 buildings, and they could have patio furniture,
19 barbeques, and basically people use that to hang out, to
20 enjoy the outdoor environment. And so, we make it clear
21 that, you know, there's no PV requirements in those
22 areas.

23 And it clarifies that for low slope roofs that
24 even in the residential buildings if you have a flat
25 roof, or low sloped roof, obstructions that are external

1 or internal to the building, including building design
2 features, are not part of SARA.

3 And it also clarifies that the Exception 5 for
4 self-shading, these are for buildings, you know, whose
5 building plans were approved prior to January 1, 2020.
6 They have different PV requirements. They can have a
7 smaller PV system or no PV system at all, you know, if
8 the roof is self-shaded.

9 So, I think this is my final slide. It kind of
10 puts together the environmental or the emissions
11 benefits of everything that we proposed this morning,
12 which includes the heat pump baseline, and photovoltaic
13 and battery storage system, and other measures in the
14 Building Standards. Basically, our traditional energy
15 efficiency measures, lighting, envelope, and every other
16 improvement.

17 So, we have two tables here. The one that you
18 see up here, it says that these are the savings for heat
19 pump baseline and PV and battery storage systems. These
20 are annual CO2e emissions. The units are metric tons
21 per year.

22 And so, I looked at -- we looked at the three
23 scenarios. This is the first year savings emissions, a
24 third year emissions savings, and the full lifecycle 30-
25 year emissions savings.

1 And so, what we have here is metric tons per
2 year. But to kind of give it a little bit of
3 perspective, we put an equivalent gas car taken off the
4 road. Like, you know, to say this is meant to reduce
5 the emissions by this amount how many gas cars do you
6 have to take off the roads to be equivalent to that.
7 So, that's the top table.

8 The bottom table is all 2022 standards, which
9 includes the baselines, PV and battery storage system,
10 and all the other measures that have been considered as
11 part of the 2022 Standards.

12 So, for the baseline and the PV system, the
13 first year, that's 2023 when the standards go into
14 effect, the buildings that are impacted by this code
15 cycle, we save about 106 million metric tons per year.
16 That's equal to taking about 24,000 gas cars off the
17 road.

18 And by the third year, I mean these numbers
19 accumulated really fast, you know, that would be
20 equivalent to about 319,000 cars taken -- I'm sorry,
21 tons. Equal to about 71,000 cars taken off the road.

22 For the full 30 year that's about 2.6 million
23 tons, and about 600,000 cars taken off the road because
24 of the PV and the baselines.

25 When enrolling our other measures that was

1 considered as part of the 2022 Standards and that
2 includes, you know, the lighting improvements, process
3 loads, you know, improvements to the building envelope
4 in various buildings, and alterations to existing
5 buildings you can see the numbers actually jump very
6 significantly. And the numbers, I know you can see it,
7 it goes up to around 142,000 cars the first year, about
8 450,000 cars by the third year, and the full 30 years
9 that's about 2 and a half million cars off the road. So
10 --

11 COMMISSIONER MCALLISTER: Mazi, maybe you could
12 be a little bit more specific about that car metric.
13 You know, we will be moving towards electric cars, you
14 know, obviously.

15 MR. SHIRAKH: Right.

16 COMMISSIONER MCALLISTER: So, emissions maybe
17 aren't quite equivalent across the time. And then,
18 also, just what are the units there, is that car years?

19 MR. SHIRAKH: Yes. So, this would be --

20 COMMISSIONER MCALLISTER: That's total car
21 years.

22 MR. SHIRAKH: Yeah, that's basically what we
23 took here was just to give a perspective of what, you
24 know, how much this impact will be in terms of cars.
25 So, we took an existing car that has, I think, an

1 average, and I need to look at the assumption, but about
2 20 miles per gallon roughly. That was basically the
3 metric we used. And so, you know, even that metric --

4 COMMISSIONER MCALLISTER: That's fine just --

5 MR. SHIRAKH: Yeah, the fact that --

6 COMMISSIONER MCALLISTER: That's fine, no need
7 to go into it in depth.

8 MR. SHIRAKH: Right.

9 COMMISSIONER MCALLISTER: But if people have
10 questions about that metric just, you know --

11 MR. SHIRAKH: That's right, it's just how many
12 average existing cars that's gas this would be
13 equivalent to.

14 COMMISSIONER MCALLISTER: Right.

15 MR. SHIRAKH: Obviously, if you have electric
16 cars, you know, you have much lower emissions, so there
17 will be a -- so, the numbers will be far greater. So,
18 but this is our average, basically, polluting car that,
19 you know, somebody's driving. So, that's what that is.

20 MR. BOZORGCHAMI: Thank you, Mazi.

21 So, we're taking questions and comments now for
22 this part of the discussion. And I have Mark Roest who
23 has his hand raised, and he also has a question in the
24 Q&A box. So, I'm going to unmute you, go ahead and ask
25 both questions, sir.

1 MR. ROEST: Thank you. So, I'm Mark Roest with
2 Sustainable Energy, Inc., in San Mateo, California. And
3 we are developing batteries that will be 3 to 9 times
4 the capacity of lithium and so they'll be twice the
5 efficiency of what there is today.

6 The question I wrote so far is have you
7 considered building integrated thin film PV? One, non-
8 framed, flexible, conformable PV was announced this
9 week. And we will be introducing a thin film printed
10 directly on the building's sheathing materials, which
11 converts efficiently at wide angles, and from reflected
12 and scattered light, making it ideal for building walls
13 as well as roof, which opens a path for high-rise
14 buildings to be fully solar powered.

15 A 23 percent efficiency solar thin film was
16 recently announced and we intend to produce thin film
17 that is close to or equal to 48 percent efficient. That
18 will initiate a revolution in solar production on
19 buildings. The companion to the rooftop is solar
20 canopies over parking, driveways, and wherever shade
21 and/or rain/snow protection is desired.

22 The goal is that each building and canopies
23 around it provides enough electricity to completely meet
24 the building and all the vehicles associated with it, at
25 least when the sun is shining, and then battery capacity

1 for when it's not. Looking at stationary batteries
2 sufficient to charge the vehicles so that there's no
3 need to --

4 COMMISSIONER MCALLISTER: I'm going to step in.
5 I'm going to step in right here. Thanks for your
6 comment. I do want to -- Payam, what's your -- I just
7 wanted to just make sure that we continue to go on.
8 And, you know, obviously we have to examine existing
9 technologies that have a commercial space. And so, I
10 want to just encourage us to focus on the proposal,
11 specific to the proposal at hand.

12 MR. ROEST: Yeah, so there were two --

13 COMMISSIONER MCALLISTER: And Payam --

14 MR. ROEST: -- two existing, you know, at least
15 one commercial existing one.

16 MR. STRAIT: The question isn't whether there's
17 an existing installation. It's is this an off-the-shelf
18 commercially viable product that builders can install at
19 scale today?

20 MR. ROEST: I have the impression that one of
21 the other two is ready and the other one was a
22 prototype.

23 MR. SHIRAKH: I can answer the question.

24 COMMISSIONER MCALLISTER: So, thanks for -- hold
25 on, just I want to just step in. Payam, what minute are

1 you using in --

2 MR. BOZORGCHAMI: I'm using one minute, sir.

3 COMMISSIONER MCALLISTER: Is it two minutes?

4 One minute, okay.

5 MR. BOZORGCHAMI: So, we're using one minute.

6 COMMISSIONER MCALLISTER: So, we're at one
7 minute. Okay, and just to try to be efficient about the
8 answers to the question so we can kind of keep things
9 moving on. I just want everybody to be looking at being
10 parsimonious with their comments because we absolutely
11 want to hear them, but also we have the written comment
12 that people are absolutely welcome to put more extensive
13 comments than they can get in verbally today. So, we
14 encourage you to do both.

15 MR. ROEST: Thank you.

16 COMMISSIONER MCALLISTER: Thank you.

17 MR. SHIRAKH: So, I have a quick response to
18 this. You know, our performance is a standard
19 performance. So, you know, when we say a 3 kilowatt PV
20 system for residential, we don't specify what
21 technology. Basically, we establish the 3 kilowatt
22 based on the load of the house, and then we establish a
23 TDV budget for that building. And any technology that
24 can meet those requirements can be used to basically
25 comply with the standards.

1 And the choice is really up to the builders and
2 the vendors. But, you know, any system that works for
3 the batteries, too. You know, we're not talking about
4 any specific technology. It could be lithium-ion, it
5 could be anything. It could be flow batteries. As long
6 as they meet the performance requirements of the
7 standards they can comply. There's no limitations on
8 that.

9 MR. BOZORGCHAMI: So, we're PV agnostic here,
10 then.

11 MR. SHIRAKH: We're technology agnostic.

12 MR. BOZORGCHAMI: Technology. I'm sorry, yes.
13 So, thank you, Mazi.

14 But yeah, one more raised hand then we'll go to
15 the questions and answers. Bob Raymer, go ahead and
16 state your name and affiliation.

17 MR. RAYMER: Yeah, thank you Payam. This is Bob
18 Raymer, with the California Building Industry
19 Association. And why we've got one concern would be
20 community solar proposal. We certainly support what the
21 CEC's doing in terms of fine tuning the rooftop solar
22 provisions. We've had a kind of learning experience
23 over the last 12 to 18 months, and so with that we've
24 had a good back and forth with staff and we strongly
25 support the changes you're making here. Thank you.

1 MR. BOZORGCHAMI: Thank you.

2 MR. SHIRAKH: Thank you, Bob, appreciate it.

3 MR. BOZORGCHAMI: Thank you. So, with that,
4 Peter, go ahead and start the Q&A if you can, please.

5 MR. STRAIT: Sure, sure. We'll go through the
6 written and then we'll get back to any raised hands
7 afterwards.

8 MR. BOZORGCHAMI: Yes, please.

9 MR. STRAIT: First, Rob Lamendola asks: For
10 Slide 33 can you please give some real life examples of
11 what is meant by limit exports to 20 percent of PV?

12 MR. SHIRAKH: What slide number was that?

13 MR. STRAIT: Slide 33, they said.

14 MR. SHIRAKH: So, what we mean by the limit the
15 exports to 20 percent, so we looked at the -- you know,
16 our software has the capability to model load, and the
17 PV, and the generation for every hour of the year for
18 all the different building types, retail, office,
19 anything considered.

20 And, you know, we can simulate the PV system and
21 then figure how much of that PV system or the electrons
22 that are generated, the electricity is used behind the
23 meter versus what goes back to the grid. So, we
24 basically chose the PV size that basically without
25 battery storage did not export more than 20 percent.

1 So, roughly, you know, kind of rule of thumb,
2 but that really changes by building types, is if you
3 size your PV system to around 60 percent of the total
4 load, so your generation is about 60 percent of the
5 total annual building load, you end up with about 20
6 percent in exports.

7 And then, we added enough batteries to basically
8 save those electrons in the middle of the day and make
9 it available later in the day, to the point that the
10 exports were at 10 percent for the load.

11 So, our performance software, CBECC, both Res
12 and Com, will help people accommodate these goals and
13 basically size the PV system, and the battery storage
14 system, and see what the generation is in kWh, and TDV,
15 and also they can see how this reduces CO2 emissions
16 from the buildings.

17 MR. STRAIT: All right. Avani Goil (phonetic)
18 asks a similar question of: How does the 45-day Code
19 language limit the hourly exports?

20 And I think you explained that this --

21 MR. SHIRAKH: I think I just explained it.

22 MR. STRAIT: Yeah. Laura Petrillo-Groh asks:
23 Does the solar area roof access -- I might have gotten
24 that wrong -- calculation exclude roof area being used
25 by mechanical equipment.

1 MR. SHIRAKH: Yes.

2 MR. STRAIT: Okay. Ted Tiffany asks: Can you
3 explain the discrepancy between Slide 37 exception for
4 1.9 kilowatts and a previous slide that notes an
5 exception of 4 kilowatts and below?

6 I think those are applying to two different
7 situations.

8 MR. SHIRAKH: It's a different thing. The 4 is
9 for commercial buildings, 1.9 is for single family.

10 MR. STRAIT: Dan Sharoni asks: How are solar
11 farms compare in overall helping PV solar systems
12 compared to the building roof?

13 MR. SHIRAKH: So, that's a -- I think the
14 community solar concept he's talking about. And so,
15 that is an alternative way of meeting our rooftop
16 requirements. So far we have only one utility that has
17 an approved community solar application, that's SMUD.
18 So, in jurisdictions where community solar is approved,
19 the builders have a choice of either using rooftop or
20 community solar. And that's what SMUD is doing.

21 There are some limitations on that and I think
22 Bill Pennington, my colleague, is going to talk about
23 that after lunch.

24 MR. STRAIT: Dan Sharoni also asks: How
25 desirable is it to build solar farms next to highways

1 with integrated EV charging stations?

2 I think that's outside the scope of what we're
3 proposing for the Building Standards.

4 MR. SHIRAKH: I mean, you know, the proponents
5 can put their PVs anywhere as long as they meet the
6 Section 10-115 requirements that Bill Pennington's going
7 to describe after lunch.

8 MR. BOZORGCHAMI: Peter, I want to interject.
9 Ben Davis also has a raised hand. Should we -- let me
10 do the raised hands so that we could handle both of his
11 questions.

12 MR. STRAIT: Sure.

13 MR. BOZORGCHAMI: Okay, go ahead Ben. Go ahead
14 and state your name and affiliation.

15 MR. DAVIS: Ben Davis, California Solar and
16 Storage Association. I have a question in the chat, but
17 I also wanted to give a comment which was just to thank
18 the Commission staff and the Commissioners for your
19 leadership on the PV and storage mandate for new
20 commercial, and high-rise, multifamily.

21 The mandate, it will obviously result in more
22 clean energy and all the associated benefits such as
23 resiliency.

24 And I also wanted to point out that this is also
25 an incredibly important step for reducing carbon

1 emissions because the impact will be felt outside
2 buildings and outside California.

3 When we get to zero carbon, the mentality of
4 society, I think, towards clean energy will need to be
5 different. And requiring PV and storage in new
6 construction pushes that mentality to where it needs to
7 be. Right, when customers become producers of clean
8 energy they become more invested in clean energy. When
9 solar and storage become as standard as double-pane
10 windows it makes a not necessarily tangible, but really
11 important difference in how people see clean energy.

12 So, this is very exciting and we, the solar
13 industry --

14 MR. BOZORGCHAMI: Thank you, Ben.

15 MR. SHIRAKH: I'll just follow up on what Ben
16 said. The PV and battery storage do save a lot of
17 emissions, reduce emissions because they impact the
18 entire load of the building. That includes lighting,
19 plug loads, which are very significant. So, that's why
20 this is an exciting addition to the Code this cycle.

21 MR. STRAIT: Ben Davis has a question in chat,
22 also, asking about the section in PV and multifamily
23 buildings utility VNEM. Is there a certain square
24 footage for spaces above which it is cost effective to
25 have a solar system that's directly to the tenant's

1 meter? And if so, would the Commission consider
2 restricting the exemption to tenant spaces beneath that
3 square footage threshold?

4 MR. SHIRAKH: Yeah, I mean we can have an
5 offline discussion.

6 MR. STRAIT: Yeah. If you have a --

7 MR. SHIRAKH: We came up with that exception
8 when we actually talked to --

9 MR. STRAIT: Yeah. So, Ben, if you have
10 information about what that square footage threshold
11 should be, like if you have some cost effectiveness data
12 that you could submit, please do so.

13 Rob Lamendola is asking: When we say PV size is
14 less than 4 kilowatt for the exception, can we clarify
15 if this is 4 kilowatts DC, at the solar panels, or 4
16 kilowatts AC as the inverter backs output.

17 MR. SHIRAKH: DC. All of our PV sizes are in
18 DC. Sometimes we mention that and sometimes we don't.
19 But we're always talking about the kW DC.

20 MR. STRAIT: Mike Hodgkin (phonetic) asks: What
21 single family starts did we use for the carbon emissions
22 calculations, noting that the case study released early
23 last week, in their opinion overestimating single family
24 starts by a factor of two?

25 MR. SHIRAKH: What was the question? What

1 single --

2 MR. STRAIT: What single family starts did we
3 use for our carbon emission calculations?

4 MR. SHIRAKH: Oh. We used basically the CEC's
5 forecast that we've always been using. You know, that's
6 the (indiscernible) data. And it's been -- that's what
7 we've been using. I didn't realize there was a
8 discrepancy or an issue, but that's what we're using is
9 the CEC's forecast for new construction.

10 MR. STRAIT: Uh-hum. Barend Venter asks -- he
11 has a series of a five questions. First, how do you
12 manage the non-export on NEMV, which is all export as
13 NGOM meter?

14 And these are all questions related to NEMV and
15 NGOM.

16 MR. SHIRAKH: I think you need to submit this in
17 writing. I mean I'm not --

18 MR. BOZORGCHAMI: Yeah, Barend, could you please
19 submit this in comment? The acronyms are a little bit
20 off what we know.

21 MR. SHIRAKH: Yeah, I mean I would hate to guess
22 about data.

23 MR. STRAIT: Yeah, I think this is about virtual
24 net metering, but we'll answer those comments in
25 writing.

1 MR. SHIRAKH: Yeah, I think it would be best to
2 have it in writing so we can give it the appropriate
3 response.

4 MR. STRAIT: Thomas Paine asks: Requiring
5 batteries presumes a market availability that has not
6 been proven. What contingencies are in place if market
7 shortages come to pass?

8 MR. SHIRAKH: You know, we had similar concerns
9 about PVs the past code cycle and, you know, we talked
10 to the manufacturers and CALSA, and they knew it was
11 coming. They were prepared for it. And we didn't
12 experience any shortages. And we expect this to be the
13 same. This is not going to go into effect until 2023,
14 so the manufacturers know they are coming and,
15 hopefully, they'll be there to meet the demand.

16 And the same thing is true for heat pump water
17 heaters, space heaters, you know we're hoping that a two
18 and a half year lead is enough for the manufacturers and
19 the supply chain to establish themselves.

20 MR. STRAIT: Tom Kabat asks: Can you compare
21 the relative ease of retrofitting batteries and solar PV
22 onto recently constructed buildings versus the relative
23 difficulty of electrifying recently constructed
24 buildings?

25 MR. SHIRAKH: Yeah, so I mean it is easier to

1 put PV on existing homes than retrofitting them, that's
2 true. That's why I know we need to look at our retrofit
3 cost effectiveness carefully. So, I'm not sure what the
4 question is but, yeah, everyone knows that things are
5 always more expensive when you do them as a retrofit.
6 More so for some technologies, than others.

7 MR. STRAIT: Yeah, and I'd add that the cost of
8 retrofit was the justification for including the
9 electric readiness requirements we have now proposed for
10 2022.

11 MR. SHIRAKH: Yeah.

12 MR. STRAIT: Mark Rest has a long paragraph.
13 I'll check the question, just a moment.

14 MR. BOZORGCHAMI: That's comments, not a
15 question.

16 MR. STRAIT: Yeah. Mark, we would encourage you
17 to submit that in writing to our docket. That's not a
18 technical question that we'd be able to answer as a part
19 of this presentation.

20 MR. BOZORGCHAMI: Yeah. So with that, Mazi,
21 Brandon actually has his hand raised, and also does Rose
22 Ann Witt. So, I'm going to open up first with Rose Ann,
23 and then those are the last two. Then, we'll move on to
24 Danny Tam talking about the energy storage system and
25 electric ready.

1 MR. SHIRAKH: Okay.

2 MR. BOZORGCHAMI: Go ahead Rose, please state
3 your name and affiliation, Please.

4 MS. WITT: Rose Ann Witt with the Conejo Climate
5 Coalition. The International Energy Agency warns we
6 must stop new fossil fuel investment this year to limit
7 global temperature rise to 1.5 C. Doing so will create
8 30 million jobs, prevent 2.5 million deaths yearly, and
9 add 4.5 percent to annual global GDP.

10 CEC's 2022 draft fails to protect our climate,
11 health and economy. Your draft increases gas
12 infrastructure investment, ensuring stranded assets and
13 costly retrofits during statewide housing construction
14 mandates.

15 Burning fossil bas indoors creates health-
16 destroying pollution inside our homes. Children with
17 gas stoves have a 42 percent higher asthma risk,
18 especially minority kids living in small, crowded spaces
19 without quality arrangements.

20 Please require all electric new buildings now.
21 We can't wait three more years. Thank you.

22 MR. BOZORGCHAMI: Thank you, Rose Ann.

23 Next we'll have -- Brandon, please -- I'm going
24 to unmute you. Please state your name and affiliation.
25 I apologize, I don't have your last name.

1 MR. VITNER: Yes, can you hear me?

2 MR. STRAIT: Yes.

3 MR. VITNER: This is Barend Venter from Blue Sky
4 Utility. We are a developer and holder of multi
5 (indiscernible) solar and storage systems.

6 I first want to thank the CEC and all these
7 efforts. I think this is the way to go. I think you're
8 making amazing progress here.

9 My question is, I don't want to go too deep into
10 it, but just, you know, being part of VNEM and all these
11 programs over the last five years, you know, we've run
12 into some series wind and series contests with all the
13 utilities, trying to work them to make this work.

14 So, I'll just ask that as we go through this we
15 just verify the technicalities about this, so that you
16 can say we -- it's non-export, and a VNEM is actually
17 connected as an export meter. That is recognizable as
18 non-export and even connecting a battery to that meter
19 that that's recognized as non-export. Or, even
20 connecting batteries to participating accounts.

21 So, there's some technicalities in here that we
22 just need to work on. And then, installed to date, most
23 of the utilities does not work together. They basically
24 don't allocate the demand credits. So, whatever demand
25 or whatever arbitrage grid (phonetic) which is

1 contemplated in this presentation currently is not
2 realizing monetary value.

3 MR. BOZORGCHAMI: Barend, I apologize.

4 MR. VENTER: Yeah, yeah.

5 MR. BOZORGCHAMI: I'm going to have to stop you
6 and have you --

7 MR. VENTER: Okay, fine.

8 MR. BOZORGCHAMI: It's a very good conversation,
9 please submit it in writing.

10 MR. VENTER: Of course. Thank you so much for
11 the opportunity.

12 MR. SHIRAKH: Yeah, thank you. Yeah, and please
13 submit it in writing.

14 MR. BOZORGCHAMI: So, with that, that's the last
15 of it on this topic. So, Danny, do you want to take
16 over?

17 MR. TAM: Mazi, can you keep driving? I'm
18 sorry, I have a few slides.

19 MR. BOZORGCHAMI: Yes, exactly.

20 MR. TAM: So, now we're going to go over the
21 proposed mandatory measures for energy source ready and
22 electric ready.

23 First, we're proposing to add a new mandatory
24 section in 150.0(s) to help facilitate future
25 installation of battery storage systems in single

1 family. These requirements should be beneficial not
2 only for battery source system, but it should be for
3 backup generator as well, which will be useful for
4 homeowners in dealing with future PSPS events.

5 The first part of the requirement is either
6 having a subpanel with a main service panel of at least
7 224 -- 225 amp or having an ESS ready interconnection
8 equipment with minimum 60 amp backup capacity.

9 The second part is to ID and collocate at least
10 4 branch circuits for emergency use. This allows future
11 battery storage for backup generator to supply power to
12 these circuits in case of blackouts.

13 Finally, space needs to be reserved to install a
14 system isolation device or a transfer switch within 3
15 feet of the main panel.

16 The next slide, please. Okay, moving on to the
17 all electric ready proposals. For single family we have
18 some existing requirements for heat pump water heater
19 ready in 150.0(n). We're proposing to expand on them by
20 adding a designated space requirement of 2 and a half by
21 2 and a half and by 7 feet.

22 If this designated space is more than 3 feet
23 from the water heater being installed, then there are
24 some additional requirements such as a dedicated 30 amp
25 circuit, some additional plumbing configuration and

1 accountancy line. This is to ensure a future heat pump
2 water heater can be installed in that designated space
3 without too much modification.

4 The next slide, please. So, we're still in
5 single family. We're proposing three new electricity
6 ready sections. These requirements would be applicable
7 when a gas furnace, cooktop, or clothes dryer is being
8 installed. The language are very similar in that sense.

9 The requirements for installation of a dedicated
10 circuit that terminates close to the equipment, with a
11 reserve breaker space in a main panel.

12 For space heating we're proposing a 30 amp
13 circuit. For cooktop 50 amp. And for clothes dryer
14 location, a 30 amp circuit.

15 Okay, the next slide. Okay, moving on to
16 multifamily, we're proposing a new 160.9 electric ready
17 section. These requirements are basically identical to
18 the single family measures we just went over. And it
19 would be applicable when a gas furnace, cooktop, or
20 clothes dryer's installed in the dwelling.

21 Okay, next slide. Okay, finally for clothes
22 dryer to serve common areas in multifamily buildings,
23 we're proposing to add a requirement for either the
24 actual conductors or raceway that's sized to one of the
25 following: Either a 24 amp for clothes dryer, or 2.6

1 kVA per 10,000 Btu per hour of gas input, or the
2 responsible person or the designer can provide the
3 calculation of the power required to get the equivalent
4 functionality of the gas system.

5 And the next slide. That's all our battery
6 storage ready and electric ready proposals. Now, we're
7 going to open it up for questions on these sections.

8 MR. STRAIT: The one question we have is from
9 Laura Petrillo-Groh, who asks: Do the 150.0(s)
10 requirements for the 225 amp panel apply to additions
11 and alterations or to new construction?

12 MR. TAM: These requirements are strictly newly
13 constructed buildings.

14 MR. STRAIT: Okay, that's the only question that
15 I have in the text box.

16 MR. BOZORGCHAMI: And there's no raised hand.
17 So -- oh, spoke too soon, I've got two. I'm going to
18 let Jacob Cassady go ahead and I'm going to unmute you.
19 State your name and affiliation.

20 MR. CASSADY: Good morning.

21 MR. BOZORGCHAMI: Oh, I'm sorry. Go ahead, I
22 apologize. Do that one more time.

23 MR. CASSADY: All right, take two. Hi, Jacob
24 Cassady with the Association of Home Appliance
25 Manufacturers. Really appreciate all the work you guys

1 have put in this. And I know I'm between one commenter
2 and lunch. But just wanted to make sure that, you know,
3 we aren't over-disincentivizing gas and gas cooking.
4 It's important, people are passionate about it. And,
5 you know, to an extent it's been politicized and we
6 really shouldn't disadvantage one product over another.
7 This is -- we've got to make sure that the consumers
8 have the choice that they are looking for. So, thank
9 you.

10 MR. BOZORGCHAMI: Thank you, Jacob, for the
11 comment.

12 So, next we've got David Freedman. I'm going to
13 unmute you. Go ahead, sir, and state your name and
14 affiliation.

15 MR. FREEDMAN: Thank you. David Freedman, Palm
16 Springs Sustainability Commission.

17 MR. BOZORGCHAMI: I'm not sure what's going on.
18 I apologize, hold on one second. Here we go.

19 MR. FREEDMAN: Okay, can you hear me now?

20 MR. BOZORGCHAMI: Yes, please. Sorry about
21 that.

22 MR. FREEDMAN: Thank you. David Freedman. I'm
23 a member of the Palm Springs Sustainability Commission
24 and I'm actively following the proposal and the
25 potential reach code for Palm Springs for 2023

1 effectiveness.

2 And just a quick question on electric ready for
3 cooktop. Does that also include ovens or just the
4 actual burner, i.e., induction burner in case the one,
5 the burner might be located in a different location than
6 the oven. So, you just perhaps could clarify how that
7 requirement would work for electric ready for kitchens?

8 MR. BOZORGCHAMI: I believe the language is
9 ready just for the burner. You know, most likely if
10 you're putting in an induction stovetop, you'd probably
11 do the oven as well. But the language itself, it's just
12 the burner.

13 MR. FREEDMAN: Okay, thank you.

14 MR. SHIRAKH: Our understanding is that ovens
15 that are separate, currently, almost the vast majority
16 of them are electric anyways, even when they have a gas
17 cooktop the oven is electric already.

18 MR. FREEDMAN: Okay, thanks for the
19 clarification.

20 MR. SHIRAKH: Sure.

21 MR. BOZORGCHAMI: Okay, next is Josie Gaillard.

22 MS. GAILLARD: Yes, thank you. Jose Gaillard
23 with the Menlo Park Environmental Quality Commission.
24 Can you hear me?

25 MR. BOZORGCHAMI: Yes.

1 MS. GAILLARD: Okay. I'm speaking for myself,
2 personally, not the Commission. So, my concern is that
3 the proposed code doesn't go far enough. It directly --
4 from my perspective, it directly conflicts with the
5 state's goal of becoming carbon neutral by 2045. Why?
6 Because gas furnaces and boilers can easily last 30
7 years or more. I've seen 40 and 50 year old boilers,
8 it's fairly common.

9 So, that means we already have 2.4 million gas
10 devices that will have been installed since 2015.
11 Which, if you back it out, is 30 years before 2045. So,
12 those will all be stranded gas assets. So, that's what
13 we have today.

14 So, this code allows even more assets to be
15 installed which will become stranded. So, how does this
16 -- my question is how does the state plan to compensate
17 building owners who comply with the code and install
18 these long-life gas devices now, and then have to retire
19 them early because the state's climate goals require
20 that gas distribution be pruned back, if not completely
21 eliminated by 2045?

22 And has the state evaluated the legal liability
23 it incurs if it continues to allow people to install gas
24 now, and then forces the gas appliances to be
25 uninstalled later?

1 MR. SHIRAKH: You know, we're going to respond
2 to all these comments in writing.

3 MR. BOZORGCHAMI: Yeah.

4 MR. SHIRAKH: Along with the others, the similar
5 comments. So, we're going to look at all of them really
6 well and prepare a response.

7 MR. BOZORGCHAMI: Next we have Ben Davis. Go
8 ahead, Ben.

9 MR. TAM: Commissioner McAllister is --

10 COMMISSIONER MCALLISTER: Can I just -- can I
11 just chime in real quick?

12 MR. BOZORGCHAMI: Yes, sur.

13 COMMISSIONER MCALLISTER: So, I want to
14 encourage people to tune into the EIR discussion. So,
15 you know, today is strictly about the Building Code
16 provisions in the regulatory language, and so I just
17 want to keep reminding people of that. But there is an
18 EIR that's been -- that's now public, that you can have
19 a look at, and those broader issues. You know, allowing
20 a -- so, you know, the difference between allowing and
21 requiring is relatively important.

22 So, but I would encourage that discussion and,
23 you know, more broader, longer-term environmental
24 impacts to be -- that discussion to take place in the
25 EIR context. So, thanks.

1 MR. BOZORGCHAMI: Thank you, Commissioner.

2 David, I think, I'm not sure if you have your
3 hand raised again or was it by accident?

4 MR. FREEDMAN: Thank you. Let me take my hand
5 off. Thank you, though. I just lowered it. Thank you.

6 MR. BOZORGCHAMI: Sure. Al, I'm going to unmute
7 you. Go ahead and state your name and affiliation.

8 MR. SATTLER: Okay. Al Sattler, myself. A
9 question about the -- you know, the isolation capability
10 and which would be related, perhaps, to the self-
11 generation. Is there any thought about having that be
12 part of rebuilding? I would think especially in areas
13 that might well be subject to repeated PSPS that that
14 could be a very desirable feature together with self-
15 generation? Thank you.

16 MR. SHIRAKH: Oh, this requirement's applied to
17 any newly constructed buildings anywhere in the state.
18 But it does not apply to existing buildings in those
19 areas. So, I mean if a jurisdiction wants to have that
20 capability in areas with a high likelihood of PSPS
21 events, you know, they have to do it at the jurisdiction
22 level. But the Code only is for newly constructed
23 buildings at this point.

24 It is a great idea to have them there. You
25 know, we just don't have the authority to do that.

1 MR. BOZORGCHAMI: Thanks for the clarification,
2 Mazi.

3 Ben, I'm going to unmute you. Go ahead and
4 state your name and affiliation.

5 MR. DAVIS: Ben Davis, California Solar and
6 Storage Association, in strong support of the battery
7 ready homes requirements. The Commission staff, you
8 know, gave this a lot of thought and we are not the only
9 stakeholders who were part of the conversation. And I,
10 you know, just hats off to the staff for doing a great
11 job balancing the different needs from different
12 stakeholders.

13 The battery ready homes requirement, it will be
14 able to reduce the cost of batteries by up to \$2,500
15 which will, obviously, allow more homes to install
16 batteries. So, overall this is quite the accomplishment
17 and we are excited to see this in the 45-day language.
18 Thank you.

19 MR. BOZORGCHAMI: Thank you, Ben.

20 MR. SHIRAKH: Ben, there was a question, I think
21 it was Tom, about the likelihood of availability of
22 batteries when the code rolls around in 2023. Can you
23 comment on that?

24 MR. DAVIS: Yeah, this is on the radar for the
25 battery manufacturers and January 2023 is more than

1 plenty of time to make sure there's adequate supply.
2 The Energy Commission, you folks came out with an
3 estimate of the megawatt and megawatt hours that is
4 required, and there are already the discussions
5 happening in the industry to make sure the supply is
6 ready.

7 MR. SHIRAKH: Thank you.

8 MR. BOZORGCHAMI: Thank you for the
9 clarification, Ben, appreciate that.

10 I'm going back to Peter one more time. We're
11 going to shut down the raised hand option. And we have
12 two, I think two questions and answers.

13 MR. STRAIT: Yes. Thyme Phillips is asking:
14 How are lifecycle analysis consider a rapidly changing
15 climate?

16 MR. SHIRAKH: So, when we updated the TDVs and
17 we added the source energy as numeric, we also updated
18 our weather files. And the weather files do reflect the
19 long term patterns, weather patterns as we currently
20 understand them. So, it does assume that most climate
21 zones are getting warmer and so that is part of our
22 simulation basis. And so, that's what was there when we
23 were evaluating all these options.

24 MR. STRAIT: Yeah, and so that's answers also
25 their question about how it impacts the sizing of

1 battery and PV systems. The battery and PV system sizes
2 were determined based on that modeling that included
3 increasing temperature over time.

4 MR. SHIRAKH: Yes.

5 MR. STRAIT: And then, there's a question of:
6 What opportunities can Title 24 capture to make our
7 buildings climate ready, which is more rhetorical. It's
8 not a question, it's not a technical question on the
9 contents of the presentation.

10 MR. SHIRAKH: I mean building resiliency,
11 building envelope resiliency is an important
12 consideration for us. Which, you know, we think that
13 protects the building against the changing, the warming
14 climate. So, that is one of our priorities.

15 MR. STRAIT: Laura Petrillo-Groh asks: In
16 150.0(n), would you please explain why the hot and cold
17 water lines need to pass through the designated space
18 for heat pump water heating before the installed gas
19 water heater?

20 MR. TAM: Yes, so you don't have to reroute the
21 plumbing. So, if it's not -- if that space is not where
22 your -- you know, the new water heater is being
23 installed, you can just remove it. Since the plumbing
24 passed through that designated location you can just,
25 you know, disconnect it and install it there. That's

1 the idea.

2 MR. STRAIT: Okay.

3 MR. BOZORGCHAMI: Peter, is that all?

4 MR. STRAIT: Laura clarifies: As opposed to
5 extended to a designated space. But otherwise, that
6 appears to be all.

7 MR. BOZORGCHAMI: Okay. So, I think that's all
8 the questions we have for this morning's presentations
9 and we're over by 11 minutes, which it's a record. It's
10 a record so far, it's been good.

11 And if you feel that you did not get your answer
12 -- or your questions or your answers provided, you can
13 always submit your comments or your questions in our
14 docket and we will address those at that point.

15 But for now, I think I'm going to break for
16 lunch. We should be back here by 12:40. And the first
17 thing on the agenda would be the community solar, where
18 Bill Pennington will be presenting.

19 And I'm going to -- I will not be able to take
20 any more comments right now because I'm going to put the
21 recording on pause until 12:40. Thank you.

22 (Off the record at 12:12 p.m.)

23 (On the record at 12:40 p.m.)

24 COMMISSIONER MCALLISTER: This is Commissioner
25 McAllister. I hope everybody had a good lunch break,

1 long enough. And it looks like we have a few fewer
2 people than we had this morning but, hopefully, that's
3 just interest in the particulars of the topic. And,
4 hopefully, people have not had any trouble logging on.

5 It turns out that about half of Davis, where I
6 know some people on staff live, is actually out of power
7 right now apparently for some reason. I'm not sure why.
8 So, anyway, hopefully that does not affect me and it
9 also, hopefully, doesn't affect the flow of the
10 presentation or access from stakeholders.

11 So, with that, yeah, thanks for joining back in
12 this afternoon. And I'll pass it off to Bill Pennington
13 to talk about the community solar part of the standards
14 update.

15 MR. PENNINGTON: Okay, thank you very much. So,
16 the community solar effort here has got started in 2017,
17 maybe late 2016. And I've been actively involved in it
18 since that time, trying to shepherd it along in the
19 development, and so forth, in the 2019 Standards.

20 A very important activity related to community
21 solar was with the application that SMUD submitted for
22 getting approval for community solar. And the
23 proceeding that reviewed that application was a very
24 active proceeding with a lot of commenters, and a lot of
25 comments raising concerns that the provisions in the

1 regulations themselves did not cover some topics that
2 were of importance to stakeholders.

3 And so, we got into a great deal of conversation
4 and discussion about those topics. And, basically, the
5 application that SMUD made was revised to respond to
6 those substantial comments from stakeholders.

7 And coming away from that was kind of a sense on
8 the Commissioners' part that -- the Commission's part, I
9 should say, full Commission, was that we needed to take
10 another look at the issues that came up in that
11 proceeding for updating of the community solar
12 regulations in the 2022 Building Standards. So, that's
13 an important backdrop to what we're proposing to do in
14 45-day language.

15 Another major activity that I've been involved
16 with was a -- around community solar was a major effort
17 with a number of industry groups, CBIA, CALSA, the
18 Coalition for Community Solar Access, CCSA, the PUC, the
19 IOUs, and solar developers that are engaged in trying to
20 develop the Emerging Community Resources Program, the
21 ECR Program through the PUC, for IOUs, where -- I should
22 say Enhanced Community Renewables Program, which sets
23 aside, you know, an important activity for solar
24 developers to work with communities to develop community
25 solar programs that are administered pretty much

1 independently of the IOUs as a community resource.

2 And so, one of the things that -- we think
3 that's a great program. There's aspects of the rules of
4 that program that don't facilitate the use of that
5 program for qualifying as a Community Shared Solar
6 Compliance Program. And so, we've been entertaining for
7 some time, two years, three years of dialogue to see
8 what could be done about those issues. And so, that's
9 also a backdrop to what we're proposing here.

10 We don't want to introduce requirements into
11 these updated amendments that would make that even more
12 difficult than it already is in terms of the ECR Program
13 being able to be used in the future in the IOU service
14 territory.

15 So, with that I think I'll just get right into
16 talking about the draft amendments. Could you go to the
17 next slide, Payam? Okay, thank you very much.

18 So, these requirements are located in Part 1,
19 Section 10-115 and they have to do with what are the
20 requirements that an applicant, who wants to run a
21 Community Solar Program, would need to do to get that
22 program approved for them to operate. And so, there's a
23 number of requirements that are criteria that we're
24 updating or maybe adding to in the proposed standards.

25 So, the first one is Section 10-115(a)3. And

1 there was a lot of concern in the SMUD application
2 review process that people found this section to be hard
3 to follow, thinking that it actually included
4 requirements that it was not intended to require, and
5 kind of being difficult for everyone to understand.

6 So, basically in this section what we've done is
7 we're proposing to eliminate the language that was
8 confusing to people and just come back to what the
9 basics of the requirement would be. That a Community
10 Solar Program needs to have -- needs to deliver dollar
11 benefits, usually in the form of energy bill credits or
12 something like that, it could be other benefits. But
13 the dollar benefit should be delivered to the
14 participating house that exceed the participant costs.

15 So, basically in terms of a cost effectiveness
16 concept, you would need to have a benefit cost ratio of
17 1.0. The benefits would need to be in excess of, but
18 not greatly in excess of the costs.

19 The next section that was changed in the
20 proposed 45-day language was Section 10-115(a)4, and
21 that was the section on durability. But in the
22 conversation, again in the SMUD Community Solar
23 application process, there was a discussion that this
24 durability requirement which would require essentially
25 participation of the home in whatever program is

1 approved by the Commission for 20 years. And there was
2 a concern that people should have the option to opt out
3 of that program if they were going to go ahead and
4 install rooftop solar that was equivalent to what would
5 have been required by the standards if those homes had
6 never gone to the Community Solar Program.

7 And so, this is an option that we proposed,
8 staff proposed in the SMUD deliberation. And SMUD in
9 particular found that the language about durability was
10 binding on them and that they thought that building opt-
11 out wasn't allowed given the, you know, perceived
12 binding obligation related to durability.

13 And so, staff didn't totally agree with that
14 position, but the Commission ultimately approved SMUD's
15 application without a building opt-out provision even
16 though most of the stakeholders in the discussion
17 thought a building opt-out was a really smart thing to
18 do.

19 So, the standards, the proposed standards that
20 we have here they do include, in this durability
21 section, language about -- that call for allowing a
22 homeowner maybe ten years in, or whatever of ownership,
23 deciding they want to put on on-site PVs and they don't
24 want to participate in the program anymore, to give them
25 the option to opt out at that point.

1 And so, one of the things that has been brought
2 up about this particular provision is somebody has to
3 keep track of what would the on-site PV requirement have
4 been for that home at the time that the building was
5 built. And so, that must be determined up front, the
6 compliance software determines it and then figures out
7 what an equivalent number of shares would be of the
8 Community Solar Program to be equivalent to what would
9 have been the on-site PV requirement.

10 So, the on-site PV requirement is a first step
11 in figuring out what the shares is, so we know at that
12 point in time for that house what is needed.

13 So, another thing that the SMUD proposal
14 included was giving buyers of newly-constructed homes
15 notice that they were going to have to meet this
16 durability requirement. And so, SMUD developed CC&Rs
17 that would get filed with the title of the building, of
18 the property that would have the obligation that that
19 durability requirement needs to be met.

20 So, the opt-out is actually an option to that.
21 And so, that language in the CC&Rs would need to be
22 adjusted to provide, you know, what the obligation would
23 be, what the opt-out procedures would be.

24 And so, that would be a perfect time to include
25 in those CC&Rs what is the onsite size that would be

1 necessary to meet the -- you know, to be what people
2 would have to install if they wanted to opt out of the
3 program. So, that would be a vehicle that could
4 overcome this issue. And so, that is an idea that we're
5 talking about for 15-day language.

6 The next section, Section 10-115(a) was an
7 additionality section. And there was a lot of
8 discussion about additionality. And the PUC, also, in
9 developing their GTSR Program and ECR Program have
10 addressed additionality more thoroughly than what the
11 standards do.

12 So, there's some added language in the proposed
13 45-day language that would talk about what is meant by
14 additionality, really. And so, one point is that at the
15 outset of a Community Solar Program there needs to be a
16 PV nest developed expressly for and to serve the
17 participants in the Community Solar Program.

18 And so, that essentially is a new resource at
19 the time that -- you know, at the time the development,
20 it's pointing to use for the Community Solar Program.
21 So, that would be normal.

22 There could be a gap in time between when the
23 program wants to launch and when the resource goes
24 online, that new resource. And so, there could be a gap
25 at the front end of the program.

1 There also could be -- so, normally resources
2 are procured for -- through a Power Purchase Agreement
3 that would have a 20-year term. That's what happens in
4 the ECR Program at the PUC. But that's 20 years from
5 the first day that that resource is generating. And you
6 may have -- the users of that, the demand for that might
7 be in a subdivision, for example, that gets built out
8 over time. So, maybe it takes five years to build out.
9 And maybe there's some magic and the first home matches
10 perfectly with the first day of that 20-year PPA for the
11 resource. But you have homes built after that and so
12 the one that's built five years later, now there's only
13 15 years left in the PPA. And so, there can be a gap
14 where you don't -- a PPA has expired by the time you get
15 to the 15th year of a home and that home is due five
16 more years.

17 And, you know, it may be the case that it's not
18 economically desirable or there's other issues for
19 building a new resource there just to cover that five
20 years left for that home. And so, there could be a gap
21 both at the front end of the program and there could be
22 a time gap at the back end, where you're going to need
23 to have other resources that would be dedicated to
24 serving all the homes that are participating.

25 And so, what's proposed in the draft 45-day

1 language is that the obligation -- you would have to
2 dedicate another resource and that resource would have
3 to be retired for the sole purpose of service to the
4 homes. And you would need to have bundled RECs that
5 would be associated with that resource. So, that would
6 be the provision for maintaining additionality for that
7 gap at the end of the time period.

8 So, another issue that came up in the SMUD
9 conversation was a matter of location. There was quite
10 a bit of discussion about where should these resources
11 be located that are serving communities through
12 Community Solar.

13 And a proposal, actually by the Coalition of
14 Community Solar for Community Solar Access, was that the
15 resource should be on the distribution system of the
16 utility or other load-serving entity, and that's how you
17 should define location. So, that is in the proposal for
18 45-day language.

19 The next slide. So, another provision that was
20 added here came also from the SMUD proceeding, where
21 there should be a maximum size put on resources that are
22 used for Community Solar access. And so, you know, a
23 lot of people recommended pretty small resources,
24 extremely close to the community. And, you know, the
25 Commission ultimately decided to match what is the

1 maximum for the Enhanced Community Renewables Program of
2 20 megawatts or less. The resource that SMUD built at
3 Wildflower was a 13-megawatt resource.

4 And so, this size provision, in combination with
5 the location being on the distribution, it is dialing in
6 to, you know, a resource that's suited for the community
7 that's -- the communities that are being served, and
8 also matches the Enhanced Community Renewables Program.
9 So, if that program works out its difficulties it could
10 align with the standards for compliance.

11 The next section, 10-115(a)8, is also a new
12 provision. Again, in the SMUD discussion there was a
13 lot of concern raised that consumers should have choice
14 at that original purchase. And they should have the
15 option to either put on onsite PVs or choose to
16 participate in the Community Solar Program. And so,
17 there's a provision in the proposed language that would
18 call for that.

19 In 10-115(a)9 there was a fairly minor change
20 there in the accountability and recordkeeping
21 obligations that the Community Solar Program
22 administrator has to maintain records and demonstrate
23 that they're complying with the requirements of the
24 Building Standards throughout the life of all
25 participating buildings, so at least 20 years. And they

1 keep recordkeeping and so forth.

2 There's an interest for sure in having annual
3 reporting to the Energy Commission so that the Energy
4 Commission can stay tuned to how that build out is
5 working for the Community Solar Program. And so, an
6 annual reporting provision was added in the proposed 45-
7 day language.

8 In 10-115(b)3, this Section 10-115(b) covers the
9 application requirements, what you have to do in
10 bringing an application to the Commission. And there
11 was a concern that particularly public entities that
12 have a constituency, you know, such as a publicly owned
13 utility, or maybe if it was a local government that was
14 sponsoring the Community Solar Program for example, that
15 that public entity should hold a public review meeting
16 to discuss what they intended to bring to the Energy
17 Commission as an application, and take comment from that
18 constituency. So, this is added as well.

19 And then, in 10-115(c), the section on executive
20 director approval on applications. So, in terms of
21 revised applications there may be some need to revise
22 applications. One example would be if the resource that
23 was being used for the program at the outset became
24 fully subscribed and in order to continue to serve
25 additional homes then there would need to be new

1 resources added. And the whole determination of the
2 shares that are necessary for a particular home is
3 dependent on the technical characteristics of the
4 resource that you're talking about.

5 So, if you bring in another resource and add
6 that in, that comes with a different set of performance
7 characteristics and would need to, you know, adjust the
8 compliance software to take that into account. There
9 might be other reasons why the resource is a little bit
10 of a different beast than the original one. So, a
11 revised application at that point would be desirable.

12 Also, if there's a modification of the
13 regulations that affect, you know, particularly the
14 administration of the program, then that also may be a
15 reason for there needing to be a revised application.

16 So, that was made explicit in the 45-day
17 proposed language. And also, the sense that these
18 revised applications could be a fairly administrative
19 action that could be delegated to the executive director
20 and not require a full Energy Commission consideration
21 of them. If the executive director wasn't satisfied
22 that it was that case, they would always have the option
23 to bring it to the full Commission for a decision, if
24 that was what happened. But this would be allowing a
25 possibility of maybe a more expedited processing of the

1 revised application.

2 So, those are the proposed changes for 45-day
3 language and very anxious to hear your comment today and
4 in writing. I would say I've been at the Commission for
5 a very long time and the Commission has an ethic of
6 being extremely responsive to comments and reviewing
7 comments, and would take those into account, whether
8 oral or written, in whatever we put out as 15-day
9 language. And so, you know, we definitely will consider
10 your comments. Thank you.

11 MR. BOZORGCHAMI: Thank you, Bill.

12 Let's start with the raised hand participants.
13 I have Bob Raymer. Bob, go ahead and state your name
14 and affiliation.

15 MR. RAYMER: Yeah, this is Bob Raymer with the
16 California Building Industry Association. And thank you
17 for your presentation, Bill.

18 CBIA, with one exception CBIA supports all of
19 the changes that you're proposing here including the
20 modification to Item Number 4, the inclusion of the opt-
21 out language. We think that's an important addition
22 given the proceedings that went on a year, a year and a
23 half ago.

24 Where we do have concern is with the new Number
25 8. As you've known with some previous conversations,

1 we're concerned about first off the precedence this sets
2 where, you know, unlike electric ready or PV ready,
3 you're now basically telling, particularly a production
4 builder, that they will need to wait until the end of
5 the line to figure out what the final house is going to
6 be looking like. And that goes seriously against a
7 long-standing practice.

8 Also, we're concerned about what this is going
9 to do to the cost of the rooftop PV system in this case,
10 particularly when you're waiting to put it on late in
11 the game. Obviously, like a lot of other options, the
12 longer you wait the higher that price goes up.

13 But most importantly, we're concerned about what
14 this could do to the economic viability of a small or a
15 medium size community solar offering. You know,
16 something the size, the utility scale size like the SMUD
17 program, they can weather issues like this. But with
18 particularly the small or medium size community solar
19 farm it's going to be very difficult for them,
20 particularly if they need to go to a bank or whatever
21 for loans, to basically say, look, some people may
22 decide not to use this. And when you've got a tight
23 number of units to deal with that's going to be a
24 problem.

25 So, once again, we support everything except

1 Item Number 8, but we'll be putting all of this into
2 writing for you. And once again, thank you for your
3 presentation, Bill.

4 MR. PENNINGTON: Thank you very much, Bob.
5 Could I ask a question, Payam, of Bob?

6 MR. BOZORGCHAMI: Please do.

7 MR. PENNINGTON: So, Bob I think you're thinking
8 also -- I don't want to put words in your mouth, but I'm
9 curious if you could address this, that maybe having the
10 option at the original purchaser time would be less
11 necessary or maybe not necessary if there was a opt-out
12 afterwards. That, you know, after the homeowner moves
13 in or whatever they decide, no, they'd rather have PVs,
14 onsite PVs, and would rather not be part of the
15 Community Solar Program.

16 So, did I understand you correctly. Maybe you
17 could --

18 MR. RAYMER: Sure. We're fine with having the
19 homeowner with the ability to modify their home after
20 they take possession of that. They just simply have to
21 follow the CEC rules. And there may well be a case, you
22 know, once again I have no idea how the NEM proceeding,
23 or how the IOU rate proceeding's going to go, but let's
24 say down the road that a homeowner wants to add a couple
25 of batteries to the garage and another 4 or 5 kilowatts

1 to the roof. We want them to be able to do that in
2 they're in like the SMUD area.

3 The problem here is, depending on the market,
4 you know right now the market's hot. You know, if you
5 have a house, it's going to sell. But what if you've
6 got, you know, 20 or 30 homes, you've already got them
7 built and they're energized and at that point in time
8 you still don't have a buyer on hand, so how are you
9 going to implement this? You know, the building
10 official is, of course, want to know all the approvals
11 with the solar as is. And so, it's just you're stepping
12 into an area that the Building Code's never done and
13 that is effectively mandating a rather significant
14 design option. And, you know, given how a project goes
15 that may or may not be doable.

16 But once again, our biggest concern is what this
17 could do to the small scale Community Solar Program.
18 You know, such as when a builder, a solar provider, and
19 a local jurisdiction kind of enter into a small deal for
20 some unbuildable land, but maybe it's good for solar.
21 So, that's our current concern.

22 But we're fine with, you know, somebody six
23 months, a year, or two years down the road after they've
24 moved in and they're getting community solar, are
25 basically saying we're going to augment the solar or

1 we're going to go to rooftop only. That's fine.

2 MR. PENNINGTON: Okay, thank you.

3 MR. BOZORGCHAMI: Thanks Bob.

4 Peter, that was all the raised hands I have.

5 And I know you have --

6 MR. STRAIT: Yes. We've got four things in the
7 typed questions.

8 First Nehemiah asks: Would the requirement for
9 the Community Solar System be located on an LSE system
10 preclude isolated microgrids?

11 MR. PENNINGTON: I don't know why it would. I
12 mean, maybe you should amplify your concern in writing
13 and we can take a look at that.

14 MR. STRAIT: Charles Kim, representing SCE,
15 asks: Is a forecasting or a projected dollar benefit
16 exceeding participant costs acceptable to CEC?

17 MR. PENNINGTON: So, the answer is no to that.
18 Basically, the expectation is that you shall deliver
19 that. So, the benefit cost ratio doesn't have to be
20 very large. It could be in fact quite minimal, and
21 there was quite a bit of controversy in the SMUD
22 application about how minimal it could be. So, it's not
23 a super difficult expectation in terms of quantity of
24 benefit in excess of cost.

25 But there does need to be a -- it does need to

1 be accomplished. And so, it would not be satisfactory
2 to have it be based on a forecast that may or may not be
3 accomplished.

4 MR. STRAIT: Ben Davis asks: The opt-
5 out/unenrollment language states at the time of
6 interconnection of that onsite solar electric generation
7 system all costs associated within the community shared
8 solar and/or battery storage system shall cease.

9 Does this provision prevent Community Solar
10 Program administrators from charging properties high
11 unenrollment fees?

12 MR. PENNINGTON: The intention is that it does
13 not. So, I guess I'd like to have, maybe ask for more
14 clarity about what you might see as the kinds of charges
15 that you think is going to be in violation. And, you
16 know, I'd like to hear some thoughts from people with
17 different views on this, frankly, about --

18 MR. BOZORGCHAMI: So, Bill I'm going to jump in
19 real quick. Ben just raised his hand.

20 MR. PENNINGTON: Okay.

21 MR. BOZORGCHAMI: He wants to have a quick
22 dialogue, so I'm going to unmute him. Okay.

23 MR. PENNINGTON: Okay.

24 MR. BOZORGCHAMI: And go ahead and state your
25 name and affiliation.

1 MR. DAVIS: I'm Ben Davis, California Solar and
2 Storage Association. When Bill asked for folks with
3 different options, he probably wasn't asking for mine.

4 MR. PENNINGTON: Sure I am.

5 MR. DAVIS: But I think we're just slightly
6 concerned that a utility could say, yes, you can
7 unenroll but we're going to charge you -- you know,
8 we're going to charge you a fee equivalent to all of the
9 projected lost revenue from going solar.

10 So, you know, I think if there could be language
11 figured out to prevent egregious fees, that might be
12 something very worthwhile.

13 But overall we are -- you know, we appreciative
14 for updating the Community Solar requirements. And
15 there's a number of new requirements that we support.
16 We think there's probably a couple of areas the language
17 could be strengthened or clarified, and we'll submit
18 comments, and we'll continue to work with the Energy
19 Commission.

20 MR. PENNINGTON: Okay, thanks Ben.

21 MR. STRAIT: Someone had asked if we are going
22 to the other raised hands after these questions, and the
23 answer is ye.

24 MR. BOZORGCHAMI: Yes, we are.

25 MR. STRAIT: Dan Sharoni asks: What is roughly

1 the size in kilowatts of additional solar farm serving a
2 community shared solar service? Who's the business
3 entity that can provide a solar farm?

4 MR. PENNINGTON: So, the last question first.
5 Any entity can apply to be an administrator for a
6 Community Solar Program.

7 That said, in most cases, maybe all, but maybe
8 there are some exceptions, the resource would need to be
9 using the utility grid for wheeling. And so, normally
10 the utility would be involved in making a Community
11 Solar Program possible. And so, it may be necessary to
12 have some kind of involvement with the utility with the
13 applicant. But certainly, utilities are not the only
14 people that could be applicants.

15 Let's see, what was the first question?

16 MR. STRAIT: The first part was minimum size.
17 Roughly the size in kilowatts of an additional solar
18 farm serving a community shared solar service?

19 MR. PENNINGTON: So, there is no minimum size
20 for the community solar farm. That would be dependent
21 on zoning that you get for the resources, and a bunch of
22 land use kinds of constraints that might be on it.

23 We could talk a little bit about the sizing of
24 the share for each house, but that doesn't sound like
25 that's the question you'd asked, so I'll stop.

1 MR. STRAIT: And that's what I have in the
2 question box.

3 MR. BOZORGCHAMI: Thank you, Peter.

4 So, we have a raised hand by Marissa O'Connor.
5 Go ahead and state your name and affiliation for the
6 record, please.

7 MS. O'CONNOR: Hi, can you hear me okay?

8 MR. BOZORGCHAMI: Thank you, yes.

9 MS. O'CONNOR: Hi, this is Marissa O'Connor.
10 I'm with SMUD. And thank you for the opportunity to
11 comment and for the thoughtful presentations today, as
12 well as the revisions to the Code.

13 And as Bill mentioned, SMUD's currently the only
14 approved administrator of a Title 24 Community Solar
15 Program in California. So, we're in a unique position
16 to comment today. And we do so in the spirit of
17 ensuring the regulations will support other new market
18 participants, who also wish to become administrators.

19 And we really do want community solar to be a
20 viable option for all Californians. And in that spirit,
21 there are two revisions we'd like to highlight.

22 First the opt-out. We said we do not oppose an
23 opt-out. As a large utility, I think as Bob said, we
24 can kind of weather the storm, we can balance the
25 resources, mitigate the risk of stranding new community

1 solar assets. But not every future administrator will
2 or should be a large utility. I think Bill mentioned,
3 you know, utilities aren't the only entities that can be
4 applicants.

5 And new community solar facilities and programs,
6 speaking from experience, require a significant
7 investment, and contracts protect investments. So,
8 allowing a customer to simply cancel a contract or to
9 opt out could really discourage new solar developers and
10 administrators, especially smaller, non-utility ones
11 from entering the market.

12 So, again, at SMUD we want to see this industry
13 thrive and we don't oppose the opt out. But we do
14 caution that it's inclusion could cut others out of the
15 market. And so, we'd encourage staff to consider
16 options that continue to ensure customer choice. Like
17 at SMUD, we allow our customers to participate in Solar
18 Shares and have on-site PVs.

19 Second, and I will make this quick, and thank
20 you. The proposed provisions would allow a participant
21 to opt out if they install a compliant onsite PV
22 facility, as Bill mentioned. But the regulation
23 currently doesn't specify who would be responsible for
24 ensuring compliance prior to installation.

25 SMUD strongly recommends that staff clarify that

1 the local enforcement agencies and not administrators
2 would be responsible for enforcements. So, LEAs, like
3 building departments, have jurisdiction over code
4 enforcement and they have the expertise, and the
5 processes that have been in place for decades.
6 Utilities do not. And, you know, again, we'd encourage
7 staff to think about future non-utility administrators,
8 which could include private parties who'd be even less
9 at a disadvantage with compliance obligations and code
10 enforcement.

11 So, again, strongly recommend that the
12 Commission clarify the LEAs and not administrators will
13 be responsible for compliance and enforcement. And we
14 really look forward to working with staff to help
15 develop regs that help support a viable program that
16 doesn't effectively dissuade or prohibit new community
17 solar installations in California. Thank you so much.

18 MR. BOZORGCHAMI: Thank you, Marissa.

19 Rick, I'm going to unmute you. Go ahead and
20 state your name and affiliation. I'm actually
21 implementing a 2-minute rule versus a 1-minute rule on
22 this topic.

23 MR. UMOFF: Great. Can you hear me okay?

24 MR. BOZORGCHAMI: Yes.

25 MR. UMOFF: Great, thank you. I think I'll be

1 under two minutes.

2 This is Rick Umoff with the Solar Energy
3 Industries Association. First of all, I just want to
4 say thank you for previewing the updated code section
5 here. We do think it is, you know, responsive to
6 stakeholder feedback that the Commission has received
7 over the last couple of years, and do support the
8 general direction of the updates. And we continue to
9 support the Community Solar compliance pathway for the
10 Title 24 Building Codes.

11 We also are concerned in ensuring customers have
12 sufficient ability to opt in and out of Community Solar
13 Projects, and to install solar onsite as well, as
14 intended by the code. So, we'll be taking a look at
15 that section and providing written comment. We want to
16 make sure, you know, that language is designed to allow
17 that kind of flexibility that would assume to kind of
18 undercut the intent of that language if there were fees
19 that were allowed that were so sort of onerous on
20 customers that effectively they couldn't opt out. That
21 would seem counter to the intention. So, that's just
22 something that we wanted to flag.

23 Another thing I'll just flag quickly is, you
24 know, within the Community Solar market generally,
25 nationally, we are seeing a move towards sort of the

1 ability to kind of solicit solar as a service and the
2 ability to opt in and out pretty easily. And so, that
3 is the trend of the market in the industries. So, solar
4 developers, you know, a lot of them are kind of moving
5 in that direction. So, we'd be happy to put some
6 information or comments on that point.

7 But beyond that thanks for everything here and
8 we look forward to putting further thoughts down in our
9 comments.

10 MR. BOZORGCHAMI: Thank you, Rick, that was
11 great. Thank you so much.

12 Nehemiah, go ahead and state your name and
13 affiliation.

14 MR. STONE: This is Nehemiah Stone.

15 MR. BOZORGCHAMI: Nehemiah, you're not coming in
16 too well. Do you want to try it one more time?

17 MR. STONE: Can you hear me now?

18 MR. BOZORGCHAMI: Not so well, but go ahead.

19 MR. STONE: Nehemiah Stone, Stone Energy
20 Associates. So, the question I was trying to get at
21 earlier, Bill, was if it is required that the system be
22 tied into the transmission and/or distribution grid,
23 then does that mean that if a builder wants to build a
24 subdivision and provide the community solar for that
25 subdivision and have it not linked, have it be isolated

1 from the rest of the grid that that's not acceptable?

2 MR. PENNINGTON: So, like I said there may be an
3 exception to the rule here that I'm not completely
4 familiar with. But in general, utilities are wheeling
5 this power. In cases where that was not necessary then,
6 sure, I see that.

7 I don't know, if you see or other people
8 listening see a clear way to define that situation,
9 perhaps that's something we could include in the
10 regulation.

11 MR. STONE: Okay. And the reason I ask is
12 because there's been -- after the fires there's been
13 talk among environmentalists about having isolated
14 microgrids that would just serve a local community and
15 not be dependent upon, you know, the larger grid. So
16 that, you know, a public safety power shutoff would not
17 affect them, and then they could get back up quicker.

18 But, you know, I don't know if anybody has tried
19 doing that yet, but I know there's been a lot of talk
20 about that. Thank you.

21 MR. PENNINGTON: Okay, thank you.

22 MR. BOZORGCHAMI: Thank you, Nehemiah.

23 Hey, Bill, we have one question that came in, in
24 the Q&A, and that was from Dan Sharoni. How would you
25 define microgrid, any special hardware/software is

1 required?

2 Do you want to explain that a little bit?

3 MR. PENNINGTON: Maybe Nehemiah should do that.

4 So, we did not have that in the 45-day language.

5 MR. BOZORGCHAMI: Okay.

6 MR. PENNINGTON: Perhaps some sort of criteria

7 would be needed. I don't know, this is a new

8 consideration.

9 MR. BOZORGCHAMI: Okay. Thank you. With that,

10 I don't see any more comments in the question and

11 answer, or in the raised hand. So, with that I thank

12 you, Bill.

13 And we're going to go on to the mandatory

14 requirements for covered processes, Subchapter 3. And

15 Ronald Balneg is going to be presenting on that.

16 Ronald.

17 MR. BALNEG: Yes. Let me get my screen here. I

18 think I see my screen.

19 MR. BOZORGCHAMI: Yes.

20 MR. BALNEG: Okay, good. Okay, so hello

21 everyone. My name is Ronald Balneg. I'm a Mechanical

22 Engineer, here in the Building Standards Office. I'll

23 be going over Subchapter 3, nonresidential, Hotel/Motel

24 Occupancies, and Covered Processes.

25 So, starting here with Section 120.1,

1 ventilation and indoor air quality. 120.1(b) has
2 requirements for high-rise residential ventilation and
3 indoor air quality, which has moved to the new
4 multifamily section.

5 Air filtration language has been clarified with
6 explicit language removing the reference of a
7 requirement to high-rise residential. And the
8 mechanical ventilation section was revised to better
9 align with the California Building Code and to remove
10 any potential conflicts between code requirements.

11 And for Section 120.1(d)5, the occupancy sensor
12 section was revised to clarify the expected interaction
13 between ventilation and occupancy sensors. This change
14 will allow additional time to signal unoccupancy and
15 additional time for ventilation to respond to that
16 signal.

17 Continuing this section, design and control for
18 quantities of outdoor air was revised to clarify the
19 term airflow refers to design airflow rates.

20 Made some changes in the air classification and
21 recirculation limitation where we've added language from
22 ASHRAE 62.1 to be better aligned.

23 Ventilation only mechanical systems section was
24 revised to clarify that ventilation only systems are
25 required to comply with 120.1(f), which is the design

1 and controls for quantities of outdoor air.

2 And Table 120.1-A, minimum ventilation rate
3 tables, had some changes to the tables to clarify that
4 the outdoor air rate is the total outdoor air flow rate
5 and that the demand control ventilation rates are
6 minimum values.

7 Section 120.2, required controls for space
8 conditioning systems. Section 120.2(e), occupancy
9 sensing zone controls were revised to align with
10 ventilation requirements in 120.1 and in 120.1(d)5.

11 There are also some clarifications made to the
12 section of the expected operation of the controls.

13 In Section 120.2(i), economizer fault detection
14 and diagnostics threshold has been expanded to include
15 mechanical cooling capacities from 33,000 Btu hours and
16 greater.

17 So, we're skipping to 120.4. There were no
18 substantive changes in 120.3, other than removing high-
19 rise residential as mentioned previously, which is
20 throughout this whole section.

21 So, 120.4, mandatory requirements for air
22 distribution systems and plenums. So, there are new
23 mandatory requirements in 120.4(b), which will require
24 Seal Class A for ductwork, which is required by the
25 California Mechanical Code and the underlying ASHRAE

1 90.1.

2 Section 140.4(1), prescriptive requirements for
3 duct sealing has been moved to the mandatory section in
4 120.4(g). An additional requirement has been added for
5 duct testing in accordance with the California
6 Mechanical Code, Section 603.10.1, for those systems
7 that do not fall under the existing requirements.

8 Section 120.5, required nonresidential
9 mechanical system acceptance. So, in Section (a)3A and
10 B, it has some updates to reference the new duct leakage
11 requirements that were previously mentioned.

12 Section 120.6, mandatory requirements for
13 covered processes. So, in 120.6(a) and (b) there are
14 new requirements for transcritical CO2 systems installed
15 in refrigerated warehouses,, or spaces served by the
16 same refrigeration system greater than or equal to 3,000
17 square feet; or for retail food or beverage stores
18 greater than or equal to 8,000 square feet.

19 So, the changes included air-cooled gas cooler
20 restriction, gas cooling sizing, specific efficiency,
21 supercritical optimized head pressure control,
22 subcritical ambient temperature reset control
23 strategies, minimum saturated condensing temperature
24 setpoint of 60 degrees Fahrenheit, and heat recovery.

25 In the last little subsection there, in (a)9,

1 120.6(a)9, there are new requirements for automatic door
2 closures for refrigerated spaces greater than or equal
3 to 3,000 square feet.

4 So, continuing on 120.6, process boilers have
5 been updated to reduce the excess oxygen concentration
6 requirement for boilers between 5 to 10 million Btu
7 hours.

8 Compressed air systems will have new
9 requirements, which will include monitoring, leak
10 testing, pipe sizing requirements, and it clarifies
11 language for trim compressors, storage, and controls
12 requirements.

13 So, 120.6(h) are mandatory requirements for
14 controlled environment horticulture. This section will
15 add new requirements, which will include
16 dehumidification, lighting, electrical power
17 distribution systems, and conditioned greenhouses.

18 In the first Subsection 1 here, the requirements
19 include minimum integrated energy factors based on the
20 volume, heat recovery requirements for integrated HVAC
21 systems, and chilled water systems with onsite heat
22 recovery. And the use of a solid or liquid desiccant
23 dehumidification system for systems designed -- for
24 system designs that require less than or equal to 50
25 degree Fahrenheit dewpoint.

1 Subsection 2 of the same section has new
2 requirements for horticulture lightening -- lighting,
3 sorry, with more than 40 kilowatts. These include
4 photosynthetic photon efficacy of 1.9 micromoles per
5 joule for lamps with removable lamps. And 1.9
6 micromoles per joule for luminaires with nonremovable
7 lamps.

8 Subsection 3 requires power distribution systems
9 to be capable of monitoring usage from a measurement
10 device.

11 The Subsection 4, conditioned greenhouses,
12 building envelopes will have its own requirements for
13 skylights and windows with an U-factor of 0.7 or less.

14 Subsection 6, greenhouse, horticulture lighting
15 has similar requirements to the indoor growing, but the
16 photosynthetic photon efficacy is lower at a 1.7
17 micromoles per joule.

18 So, moving on to 120.6(i), steam traps will have
19 new mandatory requirements, which include fault
20 detection, diagnostics monitoring, strainer
21 installation, blow-off valve equipment, and acceptance
22 requirements.

23 120.6(j) will have new mandatory requirements
24 for computer rooms which include reheat, humidification
25 and fan controls.

1 There are no substantive changes in 120.7, 8 and
2 9, but there is a new Section 120.10 which are the
3 mandatory requirements for fans. So, this is a fan
4 energy index requirement for each fan or fan array, with
5 the combined motor nameplate greater than 1.0 horsepower
6 or 0.89 kilowatts with a combined fanned nameplate
7 electric input power. So, FEI must be greater than or
8 equal to 1.00 at design conditions, unless the fan is a
9 variable air volume in which the FEI shall be greater
10 than or equal to 0.95.

11 And with that, this concludes my section of the
12 mandatory requirements. And do we have any questions?

13 MR. STRAIT: I do have one question in the --
14 oh, two questions, now, in the Q&A box. Since I don't
15 see any raised hands, I'll address those first.

16 First, Dan Johnson asks: Do the ventilation
17 requirements in 120.x supersede the California
18 Mechanical Code completely, or do designers calculate
19 the air flow for each code, then use the air flow rate
20 that is the greater of the two codes, that is the more
21 stringent?

22 MR. BALNEG: I believe it's always whichever is
23 a little bit more stringent.

24 MR. STRAIT: Let's just --

25 MR. OAQUNDAH: If I could interject?

1 MR. STRAIT: Okay.

2 MR. OAQUNDAH: Sorry, this is James Oaqundah.
3 If that comment could be submitted to the docket, I
4 would appreciate that. We can just look at that a
5 little more closely.

6 MR. STRAIT: Okay, yeah. I'm aware there's a
7 redirection to the Energy Code in one portion of the
8 Mechanical Code. So, for buildings that are covered by
9 the Energy Code, under that redirect they would not be
10 covered by -- they would not be subject separately to
11 the California Mechanical Code requirements.

12 But there are some areas where there may be some
13 overlap. We will look into that and provide a more
14 detailed answer, because I don't think we can provide
15 complete detail on some of those kind of corner cases on
16 this call.

17 Dan Detmer asks: In Section 100.1, definitions
18 and rules in construction, the definition of controlled
19 environmental horticulture includes not saying
20 greenhouse and/or growing are types of CEH. The
21 definitions for greenhouse and conditioned greenhouse in
22 the proposed Section 100.1 of the case report,
23 controlled environmental report is not carried forward
24 to this document. Since Section 120.6(h) mandatory
25 requirements 4 through 6 deal with greenhouses, could

1 the definition be added or clarified or is greenhouse
2 simply a CEH that does not meet the definition of indoor
3 growing?

4 MR. BOZORGCHAMI: Peter, I think we need to look
5 at that and I think we could maybe provide clarification
6 in our definitions, in Section 100.1. Let me look at
7 that one more and we'll see what we could do for the 15-
8 day.

9 MR. STRAIT: Yeah. And I think, you know, it
10 depends on how it's used, also, in controlled
11 environment horticulture. If what we're saying is that
12 irrespective of the definition of greenhouse because
13 greenhouse, I believe, is also defined in Part 2, we're
14 saying those would be under the umbrella of controlled
15 environment horticulture. Then it might not -- like
16 there might be a definition there that will work, that's
17 already present.

18 But we can dig into that comment with a little
19 more detail.

20 MR. BOZORGCHAMI: Yeah. And we should. And
21 this is the first time we're looking at controlled
22 environment horticultures, and we will try to do the
23 best we can to align everything and provide
24 clarification.

25 I don't see any other raised hand or any

1 questions in the comment and answer -- Q&A. So, I think
2 thank you, Ronald.

3 MR. BALNEG: Great.

4 MR. BOZORGCHAMI: And if anybody has further
5 comments on this subject, please go ahead and submit it
6 to this docket right here and we'll try to address them
7 as we get the comments coming through our docket.

8 So, next is going to be the nonresidential
9 hotel/motel electrical systems -- lighting systems,
10 excuse me, and equipments. And Simon Lee will be
11 presenting on that. Simon.

12 MR. LEE: Thank you, Payam.

13 MR. BOZORGCHAMI: Simon, you need to share your
14 screen.

15 MR. LEE: Oh, I see. Okay. Okay, thank you,
16 Payam. Good afternoon, everyone. This is Simon Lee
17 with the Buildings Standards Office. I will be going
18 through the revisions in Subchapter 4, on a high level.
19 Subchapter 4 are all about mandatory requirements for
20 nonresidential lighting systems and electrical power
21 distribution systems.

22 For 2022, the requirements in Subchapter 4
23 related to multifamily buildings are moved to the new
24 multifamily chapters.

25 And the next slide. Section 130.0, lighting

1 systems and equipment, and electrical power
2 distribution. As mentioned earlier about the 2022 Code,
3 lighting requirements for high-rise residential dwelling
4 units, dormitory dwellings, and senior housing dwellings
5 are moved to the new multifamily chapter.

6 Moving on to Section 130.1(a), manual area
7 controls. Several provisions are added in this section
8 so that the requirements are more feasible for
9 compliance.

10 First, the readily accessible requirement. A
11 provision is added for areas of the building intended
12 for access or use by the public. In such an area, they
13 may use a manual control not accessible to unauthorized
14 personnel.

15 Second, Section 130.1(a)3. In this section we
16 have added a provision for scene controllers to meet the
17 requirements of separate control of different types of
18 lighting.

19 Also to mention is an exception for egress
20 lighting. The egress lighting power value is revised so
21 that the egress lighting power provided are the same in
22 manual area controls section and shutoff controls
23 section.

24 Section 130.1(b), multilevel lighting controls
25 requirements. There are editorial changes to break down

1 the requirements into Item 1 and Item 2, so that it is
2 easier to read and following. In the 15-day language,
3 staff is considering to add an exception for classrooms
4 so that classrooms with connected lighting load not
5 exceeding 0.5 watts per square feet can be exempt from
6 the multilevel lighting controls requirement.

7 Next is Section 130.1(c) for shut-off controls.
8 A new exception to shut-off control is added for
9 stairways designated for means of egress. In the 15-day
10 language, staff is considering an added so that it is an
11 exception to 130.1(c), instead of exception to
12 130.1(c)1.

13 And the next slide. Section 130.1(c)6 -- okay.
14 Yeah, okay, this is the one. Section 130.1(c)6. Two
15 changes I would like to mention here. First, the
16 heading of the subsection for partial off occupant
17 sensing controls for office shall be greater than 250
18 square feet.

19 And second, a new 130.1(c)6D is added for the
20 multi-zone occupancy sensing controls for general
21 lighting in offices larger than 250 square feet.

22 Lastly, the changes occurs to both Section
23 130.1(c)6 and 7. General lighting is required for
24 occupant sensing controls instead of all lighting.

25 Section 130.1(c), automatic daylighting

1 controls. We have a measure for automatic daylighting
2 controls for dimming to 10 percent, and also to move the
3 previously prescriptive requirements of secondary
4 sidelit daylight zones from the prescriptive section to
5 this section, 130.1(d).

6 And there are some changes to the exception.
7 Exception 3 is clarify. Also, Exception 4, 5 and 6 are
8 added for the trigger thresholds that include secondary
9 sidelit daylight zones.

10 Lastly, in Section 130.1(d)2 we have added a
11 clarification for linear LED and other solid-state
12 lighting light source so they can be treated in
13 increments of 4 feet segments or smaller.

14 Section 130.1. We have added items number 9, or
15 Section 130.1(f)9, which is related to lighting
16 occupancy sensing controls requirements and occupied-
17 standby mode requirements.

18 All right, moving on to Section 130 --
19 apologize. Yeah, okay, the last one here. For the 15-
20 day language we are considering to add a pointer,
21 Section 130.1(3)6 and 7 in the language so that it is
22 clear the section applicable for this control
23 interaction requirement.

24 And then, moving on to the next slide. Oh, we
25 already talk about this, yeah.

1 Okay, Section 130.2, outdoor lighting controls
2 and equipment.

3 In Section 130.2(b) some of the terms and
4 requirements are revised to align with the industry use
5 of terminologies, such as shielding, and the IES
6 document TM-15-20.

7 In Section 130.2(c)2 for automatic scheduling
8 controls, we have made editorial revisions to improve
9 readability. And also, to delete redundant language
10 about the acceptance test.

11 In Section 130.2(c)3 about motion sensing
12 controls we have added an exception for parking lot
13 luminaires. Luminaires with a maximum rated wattage of
14 78 watts each are not required to have motion sensing
15 controls. And this would align with the 2021 IECC Code.

16 Section 130.4, lighting control acceptance and
17 installation certificate requirements.

18 In Section 130.4(a) we have made changes to the
19 subsections, and these are editorial changes to help
20 clarify the requirements.

21 In Section 130.4(a)8 we have added demand
22 responsive controlled receptacles to be tested for
23 meeting the acceptance, or the acceptance requirements.

24 Section 130.5, electrical power distribution
25 systems. In Section 130.5(e), demand responsive

1 controls and equipment we have added controlled
2 receptacles to the demand responsive controls
3 requirements.

4 And this concludes my presentation of Subchapter
5 4. And do we have any questions?

6 MR. STRAIT: We do have one question in the
7 comment box. Since I don't see any raised hands, we'll
8 get to that one.

9 Laura Petrillo-Groh says: The implementation of
10 the 2022 Energy Code is estimated to eliminate 6,868
11 jobs and create 681. Form 389 attributes all jobs
12 eliminated to be the result of a single measure that
13 reduce indoor nonessential lighting power requirements.
14 However, Section 2241, creation of or elimination of
15 jobs around the CASE Report states the statewide CASE
16 team does not anticipate the measures proposed for the
17 2022 Code cycle regulation would lead to the creation of
18 new types of jobs or the elimination of existing types
19 of jobs. In other words, the statewide CASE team's
20 proposed change would not result in economic disruption
21 to any sector of the California economy. Rather, the
22 estimates of economic impacts discussed in Section 224
23 would lead to modest change in employment of existing
24 jobs.

25 Can CEC staff speak to this disconnect between

1 the Form 389 and the CASE Report?

2 MR. LEE: Yes. Staff has talked to the CASE
3 team about this aspect of the economic analysis. And my
4 understanding is subsequent to the CASE -- to the
5 release of the CASE Report they have conducted further
6 analysis and they -- the findings of the later analysis
7 indicates that actually there are job gains when they
8 are affecting to everything. So.

9 MR. STRAIT: Do we know what the original
10 source, how that original 6,868 was calculated? Or, is
11 that a question we'd have to go back to the proposal
12 authors for?

13 MR. BOZORGCHAMI: Is that something Jon McHugh
14 can answer or Adrian?

15 MR. OWNBY: Yeah, I might be able to address
16 this, briefly. So, I think the --

17 MR. BOZORGCHAMI: Adrian, state your name,
18 please.

19 MR. OWNBY: Oh, sorry. Adrian Ownby with the
20 California Energy Commission.

21 So, I think the confusion here might be that
22 we're talking about types of jobs. That is the CASE
23 Report talks about types of jobs that are created. But
24 we're not interested in changes of types of jobs, we're
25 interested in purely the number of jobs that will be

1 impacted based on changes in the regulation, regardless
2 of the type of job.

3 And the numbers that we used or were derived
4 from the same template that was used to estimate
5 increases of job creation. So, using the same standards
6 that they used to estimate job creation, we found job
7 losses associated with that.

8 And I believe that particular measure really
9 results in an enormous lifecycle savings in terms of
10 costs associated with lighting installations because of
11 the lowered density requirements.

12 MR. STRAIT: Yeah, and if memory serves, and I
13 may need to provide a correct -- a more correct response
14 in writing later, but if memory serves what this is, is
15 because the total amount of lighting that is -- the cap
16 on it from an energy budget stand point has decreased to
17 some level that means that overall there's going to be
18 some percent fewer or less lighting purchased and
19 installed. And that industry wide, that if we were to
20 quantify those dollars, they'd be equivalent to roughly
21 that number of jobs. And that's throughout the entire
22 lighting industry, rather than a single sector. But I'm
23 not certain. But I think that's the origin of the
24 numbers that it comes from, a calculation of if we're
25 reducing lighting power by this much then presumably

1 some quantity of fewer fixtures could be installed.

2 MR. OWNBY: Yes, I believe that's a pretty
3 accurate description, actually.

4 MR. STRAIT: And I think it terms of additional
5 analysis, I do believe that on a whole the proposed
6 amendments to the California Energy Code cause an
7 overall increase in jobs. But we will conduct -- we'll
8 see if there's additional analysis we can site as
9 additional documents relied upon, and we'll see if
10 there's a more accurate answer we can provide in
11 addition to this answer.

12 MR. BOZORGCHAMI: Thanks Adrian. Thanks Peter.

13 Anymore comments? I don't see any raised hands.
14 I don't see any comments or questions in the question
15 and answer box. So, thank you.

16 We'll go from here next to Haile Bucaneg, where
17 he will present on the nonresidential, hotel/motel
18 proposals. There's three sections that he's going to be
19 presenting. Actually, I take it back. There's only two
20 sections he's going to be presenting, the nonresidential
21 hotel/motel performance and prescriptive compliance
22 path, and the additions and alteration path, Subchapters
23 4 and -- excuse me, Subchapters 5 and Subchapter 6.

24 MR. BUCANEG: So, good afternoon everyone. My
25 name is Haile Bucaneg and I'm a Senior Mechanical

1 Engineer with the Building Standards Office.

2 This afternoon I will be presenting changes to
3 Subchapter 5, Section 140. I will be going through this
4 chapter and the proposed changes in chronological order,
5 but note that I will not be discussing changes to
6 Section 140.4(a)2, 140.5, and 140.10. These sections
7 were discussed this morning, during this morning's
8 section.

9 Also, there are quite a few technologies and
10 proposals that we're going to be going through, so this
11 is going to be a pretty high level review of these
12 changes.

13 MR. BOZORGCHAMI: Haile, I'm going to jump in
14 real quick. Right after you're done with Subchapter 5
15 can we take a 5-minute break real quick?

16 MR. BUCANEG: Sure, no problem.

17 MR. BOZORGCHAMI: Okay, thank you.

18 MR. BUCANEG: So, one of the bigger changes is
19 the removal of the high-rise residential building types
20 from Section 140. These are now covered under Sections
21 160 and 170.

22 In Section 140.1(a) and 140.1(b), the language
23 regarding photovoltaic and battery storage systems was
24 added to the building, so the standard building design
25 and to the proposed design building.

1 Additionally, an exception was provided for
2 community shared renewable electric generation and
3 battery storage system. And this exception references
4 Section 10-115, which was discussed earlier this
5 afternoon by Bill.

6 So, requirements for steep-sloped roofs were
7 revised in Section 140.3(a)1A. This applies to Climate
8 Zones 2 and 4 through 16. The revisions here are also
9 included in Tables 140.3(b).

10 There was a minor change to Table 140.3, the
11 tradeoffs for age solar reflectance for wood-framed and
12 other roofs, and ceilings for Climate Zones 7 and 8 were
13 revised here.

14 Section 140.3(a)5 includes revisions to
15 requirements for vertical exterior windows. And
16 exceptions for conditioned greenhouses, school buildings
17 less than 25,000 square feet, and three stories or less
18 were also added.

19 The relative solar heat gain coefficient
20 equation and application were also updated for vertical
21 fenestration.

22 In regards to skylights, in Section 140.3(a)6,
23 there are now exceptions for conditioned greenhouse
24 gases -- or greenhouses. It should be noted that
25 120.6(h)4, which was discussed earlier includes these

1 requirements for greenhouses.

2 There was a minor change to 140.3(a)7 in the
3 definition for glazed doors. Doors that have more than
4 one-quarter area in glass area are now considered glazed
5 doors.

6 Section 140.3(a)9 includes revisions for air
7 barrier requirements. Here changes were made for
8 clarity and verification requirements were also added.
9 Also, air barrier boundaries, interconnections, and
10 penetrations, and associated area calculation
11 information needs to be included in construction
12 documents.

13 In Table 140.3-B, the maximum U-factor for
14 metal-framed walls was revised. Also, the maximum U-
15 factor and relative solar heat gain coefficient for
16 fixed window and curtainwall, or storefronts was broken
17 down by climate zones. And there were some revisions
18 made to these U-factors and relative solar heat gain
19 coefficients.

20 In Table 140.3-B and 140.3-C, the requirements
21 for air barriers were included where applicable.

22 As mentioned, there were changes in Section
23 140.4(a). However, these were discussed during this
24 morning's session, and we're not going to discuss that
25 at this time.

1 The fan systems requirements in Section 140.4(c)
2 include a number of proposed changes. First, the
3 existing fan power limitation process was revised to a
4 fan power budget process. This applies to fan arrays
5 with an electrical input power of 1 kilowatt or greater.
6 And also applies to healthcare facilities, now.

7 The process for calculating the fan power budget
8 and the fan system electrical input power are described
9 in this section, and Tables 140.4-A through 140.4-D were
10 added to support these calculations.

11 Moving on to space conditioning zone controls in
12 Section 140.4(d), the consideration for 20 percent of
13 peak primary airflow for deadband operation was
14 removed. This leaves a single consideration of designed
15 zone outdoor airflow rate as specified by Section
16 120.1(c)3.

17 There were several revisions to economizer
18 requirements in Section 140.4(e)1. Requirements for
19 economizers now cover cooling air handlers that have a
20 cooling capacity of 33,000 Btus per hour, or greater.

21 There are also exceptions for air handlers less
22 than 54,000 Btus per hour that use a dedicated outside
23 air system and where air economizers use would affect
24 carbon dioxide enrichments systems in controlled
25 environments, so horticulture spaces.

1 It should be noted that there are some
2 additional changes that are being considered regarding
3 exhaust air heat and minimum ventilation airflow rate
4 requirements. These are currently included in Section
5 140.4(p), but there's some consideration about moving
6 these into 140.4(e)1 as exceptions.

7 In Table 140.4-D there were some additions and
8 clarification language added. This one was pretty
9 minor.

10 In Section 140.4(k)8 there are several
11 requirements for hydronic systems of high capacity space
12 heating gas boiler systems. This includes system
13 efficiency requirements and design requirements for the
14 temperature of water entering the boiler.

15 Prescriptive requirements originally in Section
16 140.4(l) were moved as these are now going to be
17 mandatory requirements.

18 Currently in Section 140.4(p), 2 configurations
19 for DOAS are identified. And there are several new
20 prescriptive requirements of dedicated outdoor air
21 systems. This includes fan efficacy requirements for
22 DOAS unit fan systems, supply air delivery requirements,
23 supply and exhaust fan multispeed requirements, and
24 heating and reheating -- for heating and reheating
25 equipment.

1 Also, when a zone is not calling for heating or
2 cooling equipment serving that zone, it should be turned
3 off, or should be shut off.

4 We are expecting to make several changes to make
5 this section a little bit clearer, 140.4(p). This
6 includes applying requirements in 140.4 to all DOAS
7 systems, not just specific configurations. This would
8 involve removing the current A and B configurations
9 identified in 140.4()1, and moving and consolidating
10 various requirements and exceptions.

11 In Section 140.4(q) there are new prescriptive
12 requirements for exhaust air heat recovery, which are
13 similar to requirements in ASHRE 90.1. Look up tables
14 were added to determine if requirements are applicable
15 and these requirements apply to non-critical healthcare
16 facilities, as well.

17 Since this section is reliant on Section
18 140.4(p), we will be making some additional changes here
19 to reflect expected changes in Section 140.4(p).

20 Additionally, footnotes in Table 140.4-H and
21 140.4-G will be revised to require full design supply
22 air flow to be the total airflow of only the DOAS unit.

23 Section 140.5 was discussed during this
24 morning's section, so I will not be going over
25 everything here.

1 However, in 140.5(c), minimum efficiencies for
2 high capacity service water heating systems are
3 identified. There are exceptions here for specific
4 systems that use solar energy or site-recovered energy
5 that cover 25 percent of annual service water water-
6 heating, and for water heaters installed in individual
7 dwelling units. And again, this was discussed earlier
8 this morning by Danny.

9 Power adjustment factors for demand responsive
10 lighting controls were revised in Section 140.6(a)2K.
11 This includes clarification that lighting adjustment or
12 power adjustment factors qualifying for -- or, lighting
13 qualifying for power adjustment factors are not within
14 the scope of Section 110.12(c).

15 And updates for requirements for demand
16 responsive lighting control requirements to qualify for
17 power adjustment factors.

18 In Section 140.6(c)3 there were updates made to
19 terminology used in this section in terms of ornamental
20 and decorative lighting. And updates to the additional
21 allowed power for very valuable display case lighting
22 was also adjusted.

23 In indoor lighting, in Section 140.6(a)4B, the
24 luminaire classification and power adjustments, the
25 small aperture tunable luminaires lighting power

1 adjustment factors were updated. And the physical
2 dimension-qualifying criteria for small aperture tunable
3 luminaires were clarified.

4 There are a number of updates in Tables 140.6A,
5 140.6B, 140.6C, 140.6D, and 140.6G. These updates
6 pertain to adding and removing applicable areas and
7 adjusting lighting power adjustment factors and lighting
8 power density values used in these tables.

9 Some additional updates were made in Tables
10 140.7A and 140.7B for outdoor power allowances. This
11 includes providing one set of lighting power allowance
12 values for parking facilities with asphalt or concrete
13 services, new lighting power allowances for general
14 hardscape lighting applications with security cameras,
15 and revising terminology.

16 Prescriptive space conditioning requirements for
17 reheat, humidification and fan controls were removed
18 from this section, and moved to mandatory requirements.
19 And this was discussed during an earlier section, as
20 well.

21 In Section 140.9(a)1, the prescriptive
22 requirements for full economizing for economizers
23 serving computer rooms were revised. This includes
24 revised temperature thresholds for full economizing for
25 air economizers and water economizers, and adding

1 temperature thresholds for refrigerant economizers.

2 Also pertaining computer rooms, air containment
3 requirements in Section 140.9(a)3 were revised to apply
4 to computer rooms with an information technology
5 equipment design load of 10 kilowatts or more.

6 This will apply air containment to more
7 facilities and reduce mixing of colder supply air with
8 warmer return air.

9 And finally, in Section 140.9(a)4,
10 uninterruptible power supply efficiency requirements
11 were added. This will pertain to specific alternating
12 current-output uninterruptible power supply serving
13 computer rooms.

14 So, moving away from computer rooms in Section
15 140.9(c)3C, adjustments were made to laboratory and
16 factory exhaust fan system power consumptions. This was
17 in regards to requirements for measure flow rates.

18 It is proposed that at least one sonic
19 anemometer or at least two anemometers of other types be
20 used. Fault management systems must log errors and the
21 time when the error occurs. And also, two processes for
22 checking anemometer failures were added.

23 And finally, Section 140.10 was discussed during
24 this morning's session, so we will not be going over or
25 revisiting these changes at this time.

1 But those were the updates Subchapter 5, the
2 Section 140s. So, if you have any questions on the
3 sections that we went over here, we can take those now.

4 MR. STRAIT: I'm seeing some questions in the
5 Q&A box. I'm not seeing any hands raised, so I'll start
6 with the Q&A box questions.

7 First, from Meg Walton: Has the CEC analyzed
8 the difference in energy savings between the fan
9 requirements proposed in the 45-day languages and the
10 levels proposed in the CASE Report?

11 MR. BALNEG: Yeah, hi, this is Ronald Balneg,
12 when I had presented on the Section 120s.

13 So, the CASE Report originally had these levels
14 and so the energy savings were analyzed previously. And
15 we had originally wanted to keep the FEI at 1 to make
16 everything a little more simpler, but we got some push
17 back so we decided to go back to the original CASE
18 report, which is what's aligned with ASHRE.

19 MR. STRAIT: Thank you.

20 David Freedman asks: Is there a reason why aged
21 solar reflectants for steep-sloped roofs was upgraded to
22 0.25 for nonresidential climate zones, other than 1 and
23 3, but kept at 0.2 for residential hotel/motel guest
24 rooms in most climate zones?

25 MR. BOZORGCHAMI: This is Payam, I can probably

1 answer that. A lot of it had to do with us running out
2 of time, and so we were really able to look at
3 nonresidential buildings. And at the same time there
4 was the whole discussion on photovoltaic was happening,
5 so we decided for this code cycle that we will not
6 pursue the residential section and hotel/motels, and
7 just predominantly look at nonresidential buildings.

8 MR. STRAIT: Pierre Harfouche asks: Basically,
9 I logged in a little bit late. Are there any planned
10 15-day changes to Section 120.6(h)?

11 Presumably we would have either -- did we
12 mention anything specific to our section?

13 MR. BALNEG: No. So, I think 120.6(h) was the
14 horticulture stuff and I don't think there are any
15 planned 15-day changes as of right now.

16 MR. STRAIT: Yeah. As of now, no, there isn't.
17 Yeah, we don't have any specific changes planned. But
18 obviously, I would expect language throughout the code
19 to change based on the public comments that we receive.
20 So, we certainly do plan to make some changes at some
21 point in the future based on those public comments, but
22 we don't know what those are going to be, yet.

23 MR. BOZORGCHAMI: Yeah, right now, as of right
24 now -- this is Payam. As of right now what we're going
25 to be looking at is the definition of the greenhouse.

1 Greenhouse and how it pertains to horticulture.

2 MR. STRAIT: Dan Detmers asks: 140.4(e)
3 requires the use of an air or a water economizer on
4 cooling air handlers about 33,000 Btu per hour, but
5 Exemption 7 exempts it with the words where the use of
6 an air economizer and controlled environment
7 horticulture spaces will affect carbon dioxide
8 enrichment systems.

9 Are CEH spaces that use CO2 enrichment systems
10 at any point completely exempt from the air and water
11 economizer requirements or only exempt when they are
12 running the CO2 enrichment system.

13 I believe I can answer that, but I can also
14 leave it to the SMEs.

15 MR. BOZORGCHAMI: Peter, go ahead and answer it.

16 MR. STRAIT: Sure. So, these, the building --
17 sorry, the Energy Code is a set of building design
18 requirements. So, if the building design incorporates a
19 CO2 enrichment system, then that design is not required
20 to incorporate the air/water economizer. So, that's the
21 function of that exemption. So, if that's part of the
22 -- that means it's not that they're only exempt from
23 using the economizer when the CO2 enrichment system is
24 being used. They're saying, if a CO2 enrichment system
25 is installed, then an economizer does not to be

1 parallel, does not need to also be installed.

2 Laura Petrillo-Groh asks: Would we please
3 explain the contemplated changes related to dedicated
4 outdoor air systems in 140.4(p)? Specifically, she's
5 interested in the proposed removal of the A and B
6 configurations.

7 Let's see, so she's -- and she's mentioning two
8 specific systems. A potential difference between
9 120.1(c) or DOAS under 140.4(p)1B.

10 MR. BALNEG: Yeah, so I can kind of explain that
11 a little bit. So, we received some comments and we were
12 getting a little bit of confusion of how this section
13 was written. So, most of the changes to this section
14 are more removing duplications and simplifying the code
15 language.

16 So, there are two parts in the -- I think it was
17 in the path B. One of them ended up being duplicative
18 and the other two we had moved that up into the
19 exception for economizers, where economizers was
20 originally referencing that pathway. And so, that's
21 helping the code be a little bit more simpler, but the
22 intent is still the same.

23 And I don't know if -- I think we have Tim on
24 the line, if he wanted to go a little bit further into
25 that or if you have any more questions, Laura.

1 MR. BOZORGCHAMI: Tim, would you like to go a
2 little bit deeper in that discussion? I'm not sure if
3 he's muted or what?

4 MR. BALNEG: Tim. Yeah, he might be muted. I
5 see you unmuted on the Zoom, though.

6 MR. MINEZAKI: Sorry. Yeah, this is Tim
7 Minezaki. Yeah, I'm happy to talk in more detail,
8 although maybe it's easiest if I connect with Laura
9 offline. There's a couple different considerations.

10 MR. BOZORGCHAMI: Okay. Okay, thank you.

11 We have one raised hand and that is from
12 Hillary. Go ahead, I'm going to unmute you, and go
13 ahead and state your name and affiliation, please.

14 MS. WEITZE: Hi, thanks. This is Hillary
15 Weitze, Red Car Analytics, part of the statewide CASE
16 team. This comment is regarding the refrigerant
17 economizer temperature threshold addition to 140.9.

18 I guess our review of the analysis indicated
19 that there was -- in order to show sort of energy
20 equivalence with the current economizer efficiency, or
21 energy efficiency requirements that the refrigerant
22 economizer system needed to operate at a elevated COP
23 something, an efficiency that's above the DOE minimums.

24 And so our concern, I guess, is as the code
25 language is currently proposed in the 45-day language

1 there isn't -- there isn't anything written about sort
2 of the minimum efficiency or anything that kind of would
3 ensure that the refrigerant economizer system is energy
4 equivalent to the current standards.

5 So, we can provide a more detailed write-up of
6 that, but just wanted to express that concern. Thank
7 you.

8 MR. BOZORGCHAMI: Thank you, Hillary. That was
9 good, thank you. Yes, and please provide that write-up,
10 that would be great. It could apply to the statement of
11 reasonings.

12 Anymore comments, questions? If not, I'm going
13 to ask for a 10-minute break real quick, Commissioner,
14 if that's okay. We need to do some minor technical
15 stuff with -- the court reporter has to change out the
16 disks and be ready for the second set of Haile's
17 presentation.

18 COMMISSIONER MCALLISTER: Yeah, that's fine with
19 me. Thanks a lot, Payam.

20 MR. BOZORGCHAMI: All right. So, we'll -- how
21 about if we reconvene again at 2:30.

22 COMMISSIONER MCALLISTER: Sounds good. Thanks
23 everyone.

24 MR. BOZORGCHAMI: All righty, thank you.

25 COMMISSIONER MCALLISTER: We appreciate your

1 attention. All right, see you then.

2 (Off the record at 2:19 p.m.)

3 (On the record at 2:30 p.m.)

4 MR. BOZORGCHAMI: Okay. Hello again. Haile,
5 before we go on to the nonresidential additions and
6 alterations questions, there was another question that
7 came through the Q&A. And I was wondering if Hillary
8 Weitze would be able to answer that question. If not,
9 that table I need to look for in the case sheet, I don't
10 have it right in front of me, but I could forward it to
11 you, if needed. Or, would Hillary be able to respond to
12 that?

13 MS. WEITZE: Sorry, are you referring to the Meg
14 Waltner's question about Table 140.4?

15 MR. BOZORGCHAMI: Yes. Yes.

16 MS. WEITZE: Oh, sorry, I --

17 MR. BOZORGCHAMI: It didn't work on that one.
18 That's okay.

19 MS. WEITZE: Yeah, that is not my -- yeah,
20 sorry.

21 MR. BOZORGCHAMI: Okay, okay.

22 MR. BOYCE: This is Bryan Boyce. Can you hear
23 me on the webinar?

24 MR. BOZORGCHAMI: Yes.

25 MR. BOYCE: Yeah, so we have done some analysis,

1 not energy building modeling, but spreadsheet analysis.
2 So, Meg, maybe it would be best for me to connect with
3 you and go over the changes. So, yes, there has been
4 some analysis done.

5 MR. BOZORGCHAMI: Okay. Okay, that would be
6 great, Bryan.

7 And then, we just want to be cognizant that one
8 of the subject matter staff from the Energy Commission
9 is on that call, too.

10 So, thank you Bryan. Thank you, Meg.

11 With that, Haile, the rest of the afternoon is
12 yours. Take it away.

13 MR. BUCANEG: Don't worry, it will be short.
14 So, we'll be moving on to the proposed changes to
15 Subchapter 6, which will cover Section 141. And this is
16 going to be shorter than the previous subchapter. But
17 again, we're going to be going these sections -- the
18 section chronologically for these changes.

19 Okay. So, starting with Section 141.0, we have
20 a general change in that the high-rise residential
21 building types are not covered in Section 141 anymore.
22 Additionally, there was some language regarding moving
23 of relocatable public school buildings. This was added
24 in there for clarification.

25 Under Section 141.0(a)2 there are added

1 exceptions for gas water boilers and gas service water
2 heaters. This allows for exceptions to 140.4(k)8 and
3 140.5(c) under certain scenarios in this additional
4 language.

5 In Section 141.0(b)1D, new fan systems serving
6 an existing building shall meet the requirements of
7 Section 120.10.

8 And revisions to requirements for existing roofs
9 of nonresidential or hotel/motel buildings were revised
10 in Section 141.0(b)2B. This includes referencing
11 roofing product requirements in Section 140.3(a)1A,
12 referencing roofing or ceiling insulation requirements
13 in Table 141.0-C, and adding exceptions for specific
14 conditions for roof recovers, roof replacements or
15 drains.

16 In Table 141.0-B, the roof/ceiling -- roof or
17 ceiling insulation tradeoff for low-sloped roofs aged
18 solar reflectances where this was updated.

19 And the insulation requirements for roof
20 alterations were revised in Table 141.0-C.

21 New and revised requirements for new or
22 replacement space condition systems are included in
23 Section 141.0(b)2C. This includes new additional fan
24 power allowances outlined in Table 141.0-D.

25 Additionally, exceptions from new heat pump

1 baselines for new or replacement systems -- replacement
2 space conditioning systems and economizer exemptions for
3 single packaged air-cooled commercial unitary air
4 conditions and heat pumps less than 54,000 Btu per hour
5 were added.

6 In Section 141.0(b)2D, this section references
7 requirements in Section 120.4(a) through (f) for new
8 replacement ducts, and also revised duct system sealing
9 and leakage testing requirements.

10 There were minor revisions to Section 141.0(b)3.
11 This was done for clarification and, like I said, these
12 were minor revisions to the code language.

13 In Section 141.1(b), requirements for newly
14 installed computer room cooling systems and
15 uninterruptible power supply systems were added. This
16 includes referencing 120.6(j) for mandatory reheat,
17 humidification and fan control requirements. And it's
18 referencing 140.9(a)2 for fan power consumption
19 requirements. And referencing 140.9(a)4 for
20 uninterruptible power supply requirements.

21 Also in Section 141.1(b)1, full economizing
22 requirements for economizers serving computer rooms are
23 included. This identifies temperature thresholds for
24 full economizing for air, water and refrigerant
25 economizers. And these values are slightly different

1 than those in Section 140, so that's just kind of a
2 heads up there.

3 And finally, in Section 141.1(c)1, this section
4 includes requirements for equipment serving controlled
5 environmental horticultural spaces. This references
6 Section 120.6(h)1 and (h)2 for space-conditioning
7 systems and dehumidification for indoor growing.
8 Section 120.6(h)5 and (h) for greenhouse building
9 envelope and space-conditioning systems. And provides
10 requirements for indoor growing and greenhouse lighting
11 systems.

12 And that would be it for Subchapter 6, Section
13 141. We can take questions at this time, questions and
14 comments.

15 MR. STRAIT: I have two questions in the Q&A
16 box. I'm not seeing any raised hands, so I'll start
17 with the Q&A questions.

18 First, Jena Rhoda (phonetic) asks: What if the
19 public school building used the compliance method
20 allowed for only one climate zone and then it got moved
21 to a different climate zone?

22 MR. BOZORGCHAMI: Haile, do you want to answer
23 that question?

24 MR. BUCANEG: I think we're going to need to
25 take a little bit more time to look at that question.

1 MR. BOZORGCHAMI: I think the answer to that one
2 would be that if it's a portable classroom, it needs to
3 meet the most stringent requirements in all the climate
4 zones. And the reason is we don't really know where
5 that classroom's going to end up. So, is it going to be
6 in Climate 12 or Climate Zone 15.

7 MR. STRAIT: I think, actually, the answer here
8 is, you know, the climate zone is specific to the
9 project. And so, when you have a project and it applies
10 for a building permit they're going to say this is in
11 this climate zone and it has to meet these requirements.
12 And so, the designs for whatever that project happens to
13 be, the portables includes in that project will have to
14 meet the associated climate zone requirements.

15 The only case you would be able to kind of get
16 around it is if you're relocating a portable without
17 taking any action that requires a building permit. And
18 that can be done, but it would likely be fairly unusual
19 for a portable to be transported far enough -- to be
20 transported between campuses that might be subject to
21 different requirements, and then installed in the new
22 campus without any sort of permitting process.

23 So, theoretically that might happen, but I
24 wouldn't assume it to be terribly common.

25 MR. OWNBY: So, this is Adrian. Just curious,

1 are we assuming that portables are all constructed in
2 state and just moved in state, or are they like, you
3 know, mobile homes --

4 MR. BOZORGCHAMI: In climate -- in climate
5 zones.

6 MR. OWNBY: -- see, mobile homes are not subject
7 to our regulations at all because they can cross state
8 lines. And I'm wondering whether or not that might be
9 the case for portable classrooms as well. I don't know,
10 I'm just curious.

11 MR. STRAIT: Yeah, and Dan Johnson has put into
12 the Q&A that portable classrooms are currently designed
13 for compliance "in all climate zones".

14 MR. OWNBY: Yeah.

15 MR. STRAIT: It's one certification with DSA.
16 So, I guess if they're built to the most stringent
17 applicable requirements across all 16 climate zones,
18 that may be true. We might have to -- like, I don't --
19 I'm not enough of an expert in Title 25 compliance to
20 know exactly how something --

21 MR. BOZORGCHAMI: Yeah, this is a Title 24
22 requirement for portable classrooms, Peter. And I have
23 to agree with Dan Johnson that we have -- portable
24 classrooms has to be compliant in all climate zones.
25 So, if you take it that direction, you have to look at

1 the most stringent climate zones.

2 MR. STRAIT: Oh, so that's what Jena Rhoda is
3 clarification, she's asking about special application
4 allowed for a one-climate-zone compliance. I must admit
5 I'm not familiar with the special application process or
6 what the criteria for approval of the application would
7 be.

8 MR. BOZORGCHAMI: Yeah.

9 MR. PENNINGTON: Hi, this is Bill. I was
10 actually around when these requirements were written
11 into the code and there's quite a bit of conceptual
12 approach to what was done. So, I think there needs to
13 be a staff conversation about this.

14 MR. BOZORGCHAMI: Yeah, I agree with Bill. So,
15 Jena, we'll get back to you on that answer.

16 MR. STRAIT: And I don't have any more questions
17 in the Q&A box.

18 MR. BOZORGCHAMI: And there's no more raised
19 hands. So, Haile, could you go to the next slide,
20 please?

21 So -- oh, we have one raised hand now. Mark
22 Roest, go ahead and I'm going to unmute you, and state
23 your name and your affiliation, please.

24 MR. ROEST: My name is Mark Roest. I'm with
25 Sustainable Energy, Inc. And I was just asking

1 something about the exceptions. I didn't -- I wasn't
2 clear about the exceptions that had been mentioned on
3 the slide, I think it was 140.1 or something that
4 referred to roofs.

5 MR. BUCANEG: Sure. So, that's exceptions to
6 141.0(b)2BII. And these exceptions are for roof
7 recovers, roof replacements and drains. And there's a
8 little bit more specific language.

9 MR. ROEST: So, I do have a question about that,
10 now that I understand the context. The thing that -- I
11 did submit a docket question, as you asked, as somebody
12 asked, and what I'm talking about is building integrated
13 solar where if you're going to do a roof recover that is
14 a perfect time, instead of putting shakes, or asphalt,
15 or concrete shingles or whatever on it, that's a good
16 time to put a thin film sheet, say hard anodized
17 aluminum, or a composite sheet which has had solar PV
18 printed on it, onto the roof. And that should last
19 longer than most roofs. And it should provide between
20 36 and 48 percent efficiency once it's on the market,
21 which should be by 2023.

22 MR. BOZORGCHAMI: So, we do have a requirement,
23 we have an exception that says if you're installing an
24 integrated PV on top of the roof, the roof does not need
25 to be cool roofed.

1 The exception for the insulation is still there.

2 Okay, so the only thing --

3 MR. ROEST: What is that? I'm not --

4 MR. BOZORGCHAMI: So, if I go down to the roof
5 deck, and I still have to put a roof up, right. So, I'm
6 down to the plywood, I still have to put a roof on.

7 The insulation is totally different than the
8 solar effect thermal emittance of a cool roof. So, if I
9 have an integrated PV panel, I'm exempted from the cool
10 roof requirement for that area, but I still have to
11 install the insulation requirement, or I still have to
12 meet the insulation requirement.

13 MR. ROEST: Insulation under the roof?

14 MR. BOZORGCHAMI: Under the -- at the roof deck,
15 yes. Because the majority of these buildings are low-
16 slope roofs, they are either doing a PVC or a TPO, and
17 the majority of these roofs do require -- or these type
18 of systems do require some sort of an insulation.

19 So, with that we're requesting that the
20 insulation value be a little bit higher than normal.

21 MR. ROEST: Oh, okay. Okay.

22 MR. BOZORGCHAMI: A couple things that does is
23 also negates the moisture from the roof deck, but that
24 only affects -- what you're asking is only effecting
25 what we're doing for solar reflectants. There's an

1 exemption in there.

2 MR. ROEST: Well, we also have an interest in
3 insulation as well. An ally company has an effective
4 insulation. So, you're -- does the insulation go either
5 above or below the roof?

6 MR. BOZORGCHAMI: We based it on a U factor.
7 So, you can do an R value or a U factor. And U factor,
8 we're silent on where the insulation goes.

9 MR. ROEST: Okay.

10 MR. BOZORGCHAMI: Okay.

11 MR. ROEST: All right, thank you very much.

12 MR. BOZORGCHAMI: Uh-hum. Sarah, I'm going to
13 unmute you. Go ahead and state your name and
14 affiliation. Sarah, you're going to have to unmute
15 yourself first. Sarah, you're still muted. There you
16 go.

17 MS. SCHNEIDER: Thanks Payam. I accidentally
18 hit my hands, so ignore me.

19 MR. BOZORGCHAMI: Oh, okay.

20 MS. SCHNEIDER: Sorry.

21 MR. BOZORGCHAMI: No worries. You're good.
22 I'll talk to you later.

23 Mark, go ahead and state your name and
24 affiliation.

25 MR. ROEST: I'm the person you just talked to.

1 MR. BOZORGCHAMI: Oh, I'm sorry. Here we go.

2 MR. ROEST: No problem.

3 MR. BOZORGCHAMI: Laura, go ahead and state your
4 name and affiliation.

5 MS. PETRILLO-GROH: Again, good evening or
6 afternoon, depending on where you are. My name is Laura
7 Petrillo-Groh. I'm with the Air Conditioning, Heating
8 and Refrigeration Institute, or AHRI. AHRI represents
9 more than 332 air conditioning, heating, and
10 refrigeration equipment manufacturers.

11 Primarily, I just wanted to thank both CEC staff
12 and the consultants for what I think what -- for early
13 and often stakeholder engagement. This team has worked
14 really hard to make sure that the proposals that started
15 back, I think in 2018, have been very significantly
16 revised and refined. Of course, we still do have some
17 comments, which I'm happy to submit in writing. But I
18 do appreciate all of the Commission staff and consultant
19 efforts during this process.

20 I think the one question I was hoping to glean
21 today out of this section is a little bit more about the
22 -- just at a very high level the difference in
23 requirements between the new construction and the
24 renovations, or additions and alterations section
25 regarding the (indiscernible) budget. Could you go over

1 maybe a little bit about equipment that might comply in
2 an additions and alterations situation that would not
3 comply in a new construction situation? Maybe a little
4 bit of compare and contrast between those two?

5 MR. BALNEG: Oh, sorry. Yeah, this is Ronald
6 Balneg. I mean so the main differences between the two
7 is the credits for the additions and alterations, they
8 should be still getting like the same amount of credits.
9 And so, most of the changes are going to be under like
10 the new construction. And so, the additional credits
11 should be able to help the -- I don't know if I can come
12 up with like a specific examples, because there's like
13 the different changes and stuff.

14 Bryan, do you think you could answer this
15 question? Sorry. Thanks.

16 MR. BOYCE: Can you hear me?

17 MR. BALNEG: Yes, go ahead Bryan.

18 MR. BOYCE: Yeah, so Laura, the additions and
19 alterations get essentially what amounts to I think an
20 additional 9/10ths of an inch of static pressure
21 allowance. And so, you know, I think as you're stating
22 that would allow additional product -- or it would just
23 give additional leeway to sites with, you know,
24 potentially existing ductwork and other limitations on
25 the, you know, the system really to upgrade. So, that

1 is kind of what was added, really, for that installation
2 type.

3 And so, I guess the focus, the way we thought
4 about it was more on the system level, rather than the
5 individual products themselves. And, you know, that was
6 giving additional, you know, bandwidth for the existing
7 systems.

8 Does that answer your question?

9 MS. PETRILLO-GROH: Yeah, it's helpful to
10 understanding your frame of reference more. Appreciate
11 the answer. Thank you so much.

12 MR. BALNEG: Thanks Bryan.

13 MR. BOZORGCHAMI: Thank you, Bryan. Thank you,
14 Ronald.

15 I have one raised hand, it's a phone number, I'm
16 not sure but I'm going to unmute you. Go ahead and
17 state your name and affiliation. You're going to have
18 to say it -- there you go.

19 BENNIE: Hey, Payam, this is Bennie with the
20 Statewide CASE Team. Just wanted to add a little more
21 context for the roof recovers and roof replacements.

22 MR. BOZORGCHAMI: Okay.

23 BENNIE: While there is the U factor option
24 which allows for some insulation to be installed below
25 deck, there is still a minimum requirement for R-10 to

1 be above deck.

2 MR. BOZORGCHAMI: Yeah. Yeah, and that R-10 is
3 really there to prevent that moisture to build up under
4 the --

5 BENNIE: Exactly.

6 MR. BOZORGCHAMI: -- at the roof deck, and it is
7 actually -- what it does is gives you a continuous above
8 the roof deck, which the value of that is much better
9 than having insulation between the rafters.

10 So, if you have an R-10 above the roof deck, you
11 may need a little bit more insulation between the
12 rafters to be equivalent to the save savings or the same
13 U factor, I should say.

14 BENNIE: Yep. Great, thank you.

15 MR. BOZORGCHAMI: Yeah, you're right Bennie,
16 thank you.

17 Any -- Peter, do we have any more raised hands
18 or -- I don't have any more raised hands, so do we have
19 any more --

20 MR. STRAIT: Well, there's a call-in number with
21 a hand raised.

22 MR. BOZORGCHAMI: He's going to lower his hand
23 right now, that was Bennie.

24 MR. STRAIT: Then we do have one more question
25 in the chat box. This is from Joe Kane. This is

1 asking, for built-in PV roof coverings, I guess that's
2 built-in photovoltaics, that have power producing and
3 non-power producing portions of the roof covering, can
4 the exception to cool roof apply to the non-power
5 producing portion of the roof to allow a static
6 integration of both portions?

7 MR. BOZORGCHAMI: No. No. That, you would have
8 to go through the performance path. The whole purpose
9 of it is to it provides an energy efficiency, and looks
10 at the solar effects and the thermal emittance.

11 So, the energy has no -- that's not connected
12 would have to meet the cool roof requirement.

13 I know of one company that's producing these
14 roofing products and, unfortunately, they have to also
15 -- they have to meet the cool roof requirement and also
16 the insulation requirement.

17 And the reason is the savings is based on the
18 solar reflectants and the thermal properties of that
19 insulation. So. Any other --

20 MR. STRAIT: Not that I'm seeing. Mark Roest
21 now has their hand raised. I don't know if that's a
22 separate or a new question.

23 MR. BOZORGCHAMI: I think that might be a new
24 question. Go ahead, Mark, state your name and
25 affiliation.

1 MR. ROEST: Mark Roest, Sustainable Energy, Inc.
2 And I -- when I thought through what you were saying
3 about the insulation, and the deck, and the roof, and
4 the rafters I remembered that there is a kind of roof
5 that might be laid down without a separate deck.

6 MR. BOZORGCHAMI: Okay.

7 MR. ROEST: So, if the outer sheath of the
8 building is the deck, there's not a separate roof on top
9 of that, but it is waterproof and all that. If that
10 were to happen, what would the rule be on the
11 insulation?

12 MR. BOZORGCHAMI: Then the -- well, then, you've
13 got two choices. You've got the insulation would become
14 the deck or you put the insulation below the deck. And
15 as Bennie alluded earlier, you're still required to put
16 a minimum R-10. So, the deck would become that
17 insulation.

18 MR. ROEST: Okay, so if we did a sandwich
19 construction with, say, ultra light performance concrete
20 on the outside, on both sides, and an insulation in
21 between then that is --

22 MR. BOZORGCHAMI: That's the deck requirement.
23 Yeah, that's the deck.

24 MR. ROEST: It would be the deck and it would
25 have the R-10 inside it.

1 MR. BOZORGCHAMI: Yes.

2 MR. ROEST: But if we're -- I'm just wondering
3 about if -- yeah, okay. So, if I had a single structure
4 that was rigid enough to be a roof, and also had the
5 thin film printed on it, then how would we put that
6 together? We would --

7 MR. BOZORGCHAMI: So, I need to understand what
8 the construction assembly is that you're talking about.
9 I'm not picturing it, I'm sorry.

10 So, if I'm not mistaken, you're saying that you
11 have some sort of a sandwich panel where you have some
12 sort of a -- some sort of a microfiber roof deck, with
13 insulation embedded in it, some sort of a polymer
14 concrete.

15 MR. ROEST: Probably not polymer. I'm looking
16 more at let's suppose that we -- there are two
17 possibilities. One possibility would be a sandwich that
18 has probably micro beads in it.

19 MR. BOZORGCHAMI: Okay.

20 MR. ROEST: Or some -- or a gel, an ultra
21 lightweight gel.

22 MR. BOZORGCHAMI: Okay.

23 MR. ROEST: And another possibility is --

24 MR. BOZORGCHAMI: Now, this ultra light gel, is
25 this insulation or what --

1 MR. ROEST: Yeah, insulation, you're right.

2 Yeah.

3 MR. BOZORGCHAMI: Okay. Okay.

4 MR. ROEST: And the other possibility is a
5 rigid, ultra light performance concrete panel --

6 MR. BOZORGCHAMI: Okay.

7 MR. ROEST: -- printed on one side, and then
8 insulation up against underneath it.

9 MR. BOZORGCHAMI: Okay.

10 MR. ROEST: You know, so the solar is directly
11 printed onto that panel.

12 MR. BOZORGCHAMI: Okay. So, that panel will be
13 exempted from the cool roof because you have a PV. But
14 that panel still has that built in insulation. So, you
15 can use that --

16 MR. ROEST: Well, if it's not a sandwich then
17 what you're saying --

18 MR. BOZORGCHAMI: But you're saying that there's
19 a gel insulation underneath it.

20 MR. ROEST: That's one version. There's two
21 versions I'm talking about here.

22 MR. BOZORGCHAMI: Okay.

23 MR. ROEST: One version is the sandwich version
24 and that might be difficult to manufacture or expensive
25 to manufacture. And another version might be just a

1 solid sheet, let's say it was 3/8ths of an inch thick,
2 or something like that, and then insulation would be put
3 up underneath that.

4 MR. BOZORGCHAMI: Okay.

5 MR. ROEST: Or is that not going to handle the
6 moisture issue.

7 MR. BOZORGCHAMI: I'm not a hundred percent
8 sure. So, how about you and I touch bases and discuss
9 this a little bit?

10 MR. ROEST: Okay, how should we do that?

11 MR. BOZORGCHAMI: Your email shows up on our
12 docket.

13 MR. ROEST: Yes.

14 MR. BOZORGCHAMI: So, we will -- I will reach
15 out to you.

16 MR. ROEST: Wonderful, thank you.

17 MR. BOZORGCHAMI: Uh-hum.

18 So, with that we're at the end of the hearings
19 today. Again, if you have comments, you have questions
20 there is the link to our docket, the information.
21 Please, for today's hearings, if you could submit your
22 questions and comments sooner, within the week or week
23 and a half, it will be very appreciated.

24 And we will be -- our next set of hearings are
25 going to be on Thursday, the 27th and Friday, the 28th.

1 And now, I think we're going to open it up for
2 everything that you've heard today. And if we don't,
3 we're pretty much complete with today's hearings.

4 COMMISSIONER MCALLISTER: So, thanks Payam.
5 This is Commissioner McAllister. Great job everyone
6 today, I really want to commend the staff for the
7 presentations and also everyone who asked questions.
8 You know, it's a lot of information to absorb so,
9 certainly, you know, on the going forward we want to
10 make sure everybody understands the proposals. So, you
11 know, a lot of that has happened today, but we can
12 continue to help that happen.

13 Thursday and Friday very important as well, so
14 we can get through the whole proposal during the course
15 of the week.

16 And I just want to make sure that we do kind of
17 a general public comment session here. I think you had
18 that in mind, Payam, but just want to be clear with
19 everyone now's the time for public comment about
20 anything that you've heard today but, really, any
21 comments folks in the public might want to make about
22 the Building Code update.

23 So, yeah, once we do that and if there is any
24 comment, then we'll adjourn for the day. But I want to
25 make sure everyone has a chance to speak.

1 MR. BOZORGCHAMI: Commissioner, I'm not seeing
2 any raised hands, or any questions or comments in the
3 Q&A so --

4 COMMISSIONER MCALLISTER: Okay. Well, great.
5 So, any wrap-up comments, additional ones that you want
6 to make, Payam, or anyone on the CEC staff team?

7 MR. BOZORGCHAMI: No, I personally want to thank
8 everybody who participated in today's hearings. This is
9 very beneficial to us. And we'll take the comments and
10 concerns back, and we'll try to do our best to develop
11 the upcoming 15-day language.

12 Some folks, we will be reaching out to get more
13 clarification on their questions and their comments.
14 And thank you.

15 COMMISSIONER MCALLISTER: Great. Well, great.
16 So, I just want to express my personal appreciation for
17 everyone's commitment to this. And with the team on
18 staff, much deeper than just the staff you saw today.
19 Will Vicente, I want to just call him out as the Office
20 Manager of the Buildings Standards Office, in which much
21 of the heavy lifting happens. But, really, it's a vast
22 team effort at the Commission. I think that comes
23 across in what you saw today.

24 But all the stakeholders that have a keen
25 interest in this update, I want to just also personally

1 thank you for your engagement. And I'm sure it will
2 continue on Thursday and Friday, so thank you in advance
3 for that.

4 So, I think with that we're adjourned for the
5 day, and looking forward to seeing everyone again on
6 Thursday. So, thanks a lot.

7 MR. BOZORGCHAMI: Commissioner, one more note, I
8 apologize.

9 COMMISSIONER MCALLISTER: Okay.

10 MR. BOZORGCHAMI: We will be docketing the
11 PowerPoint presentation tomorrow morning for everybody
12 to have a copy of on our docket, 21-BSTD-01.

13 COMMISSIONER MCALLISTER: Great. Thanks for
14 that. All right, we're done.

15 MR. BOZORGCHAMI: Thank you everyone.

16 COMMISSIONER MCALLISTER: Thanks everyone, bye-
17 bye.

18 MR. BOZORGCHAMI: Bye-bye.

19 Haile, do you want to go to the last slide.

20 (Thereupon, the Workshop was adjourned at
21 3:30 p.m.)

22

23

24

25

1

2

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 30th day of June, 2021.



MARTHA L. NELSON,


CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 30th day of June, 2021.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520