

DOCKETED

Docket Number:	21-BSTD-01
Project Title:	2022 Energy Code Update Rulemaking
TN #:	238866
Document Title:	Transcript of May 27, 2021 for Lead Commissioner Hearing
Description:	N/A
Filer:	Amber Beck
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/14/2021 4:07:21 PM
Docketed Date:	7/14/2021

APPEARANCES

COMMISSIONERS

Andrew McAllister, Lead Commissioner

CEC STAFF

Payam Bozorgchami, Building Standards Office

Amber Beck, Efficiency Division

Danny Tam, Building Standards Office

Jeff Miller, Building Standards Office

Peter Strait, Building Standards Office

Maziar Shirakh, Building Standards Office

James Qaqundah, Building Standards Office

Michael Shewmaker, Building Standards Office

Cheng Moua, Building Standards Office

Javier Perez, Building Standards Office

TODAY'S SPEAKERS

Derek Benson, EnergySource

Dr. Rebecca Paisley, Cornish Lithium

Fernando Leiva, Professor, UC Santa Cruz

Lindsay Buckley, CEC

Richard Rojas

Alexandra Prisjatschew

PUBLIC COMMENT

Jon McHugh

Kevin Messner, Association of Home Appliance
Manufacturers

Aaron Phillips, Asphalt Roofing Manufacturers

Will Allen, Consol

Mike Moore

Laura Petrillo-Groh, Air Conditioning, Heating and
Refrigeration Institute

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

9:04 A.M.

THURSDAY, MAY 27, 2021

MR. BOZORGCHAMI: Thank you. So good morning, everyone. My name is Payam Bozorgchami, project manager for the 2022 Building Energy Efficiency Standards. I want to welcome you to the Energy Commission's Virtual Lead Commissioner hearings for the upcoming California Energy Code. The Lead Commissioner overseeing the work that's being done for the 2022 Energy Codes is Commissioner Andrew McAllister.

We have scheduled three hearings on the 45-day Express Terms, and we had our first hearing on Monday, May 24th. And this is the second hearing where we would like to receive your comments regarding the proposed language for Part 1 and Part 6 of Title 24. This hearing, we will not be taking, or we will not be taking any comments, or we will not have any discussions on the Environmental Impact Report.

MS. BECK: Payam, I'm sorry. I'm going to stop you for a moment.

MR. BOZORGCHAMI: Yes. I forgot.

MS. BECK: Can you please record?

1 MR. BOZORGCHAMI: Yes.

2 MS. BECK: Thank you.

3 MR. BOZORGCHAMI: So once again, we will
4 not be --

5 COMMISSIONER MCALLISTER: Hey Payam, why
6 don't you -- why don't you start over. Just at
7 least do a quick version so we can make sure it's
8 all recorded.

9 MR. BOZORGCHAMI: Sure.

10 COMMISSIONER MCALLISTER: Sorry about
11 that.

12 MR. BOZORGCHAMI: Sure. Sure. Sure. I
13 Apologize, everyone. I kind of got carried away
14 for a bit there. So again, this is Payam
15 Bozorgchami, project manager of the 2022 Building
16 Energy Efficiency Standards. The lead
17 commissioner overseeing the work that's being
18 done for the 2022 Energy Code is Commissioner
19 Andrew McAllister. And this is the second
20 hearings that we're having on the 45-day Express
21 Terms. We had our first one on Monday, May 24th,
22 and we will have our third and last hearings on
23 the 45-day Language tomorrow, Friday, May 28th.
24 And like I said, these hearings are being led by
25 Commissioner Andrew McAllister. And we do really

1 want to get your inputs on Part 1 and Part 6 of
2 Title 24.

3 Before we start, I wanted to provide you
4 guys some -- with some housekeeping rules. We
5 will be muting everyone, and after each proposed
6 subchapter's presented, you can either raise your
7 hand and we will unmute you or you can submit
8 your questions in the question and answer window.
9 And we will have a group of panelists who will
10 try to answer your questions. And if we can't,
11 we have your information, we will reach out to
12 you and have a discussion. Also, if you're
13 participating by phone, you can use *9 to raise
14 your hand and *6 to mute and unmute yourself.
15 One important thing to remember is that when we
16 do unmute you, you also need to unmute yourself
17 from your side. That's just how Zoom works these
18 days. So I may remind you if you don't unmute
19 yourself.

20 This workshop is being recorded and it is
21 being transcribed, as you saw me make that
22 mistake earlier. I apologize for that. But when
23 you do come to the mic or please state your name
24 and your affiliation, so we know who we're
25 talking to and who we need to reach back out to

1 if needed be. We are also going to implement a
2 3-minute rule today and we will ask for one
3 speaker per organization to provide comments.
4 But depending on the number of presenters or
5 commenters that would like to make a comment, we
6 may shorten that time period so we could get
7 through everything we want to. And we have a lot
8 to cover today. And one of the areas that we're
9 going to be covering today is the multifamily.
10 That's very extensive, very detailed change that
11 we've done this Code cycle to the standards.
12 Before we start, Commissioner McAllister, would
13 you like to give a few words?

14 COMMISSIONER MCALLISTER: Yes, sir. Thank
15 you, Payam. Thanks, everyone, for being here. I
16 thought Monday was a very productive day and I'm
17 really looking forward to today as well, where we
18 get through the Single-family and then move on to
19 the Multifamily in the afternoon. We may be able
20 to modify that and accelerate or have to push
21 back, depending on how much comment we get and
22 how much discussion there is.

23 So really appreciate folks giving us some
24 indication of their desire to comment so we can
25 kind of manage the time and make sure everyone

1 has a chance to comment. And then also, you
2 know, more or less keep on the schedule that
3 we've set out. As Payam said, there is a lot to
4 cover. So I want to just encourage people to
5 help the whole proceeding be efficient with time.
6 But absolutely, we want to hear from everybody
7 who has something to say to add. I would ask
8 that to the extent possible people, you know,
9 kind of respecting that process and being aware
10 of everyone's attention here when we have a lot
11 of people on the call and, you know, the right
12 staff on line at the right moment, throughout the
13 course of the day, if you can -- if folks who
14 have comments about the specific sections try to
15 make their comments at the time for that section,
16 and then more general comments that aren't sort
17 of specific to a given section or the language
18 that we're going through, but if you could hold
19 that until the public comment period, that would
20 be helpful. That lets us manage the flow of the
21 day and make sure that we that we get everybody
22 in at the appropriate moment in a way that kind
23 of helps the content develop as optimally as
24 possible. So we really appreciate that.

25 I want to just thank Payam, Staff, Will

1 Vicent, the lead of the -- office manager of the
2 Building Standards Office, Mike Sokal, the lead
3 on the Efficiency Division, the deputy over the
4 Efficiency Division. I want to -- just really
5 appreciate you and all the staff who will be
6 presenting today. Lots of work, obviously, has
7 gone through this proposal to get to the point we
8 are today with this proposal, with literally
9 many, many hundreds of comments and dozens and
10 dozens of workshops and just an extensive
11 process. So really appreciate everyone's
12 commitment to really pushing the Building Code to
13 be all it can be and sort of be the appropriate
14 assertion of California's leadership in this
15 arena. Building codes are you know, they're a
16 big, big deal. They're a great policy instrument
17 that we have in the State.

18 Speaker1: And there's a lot of alignment now with
19 the federal government. And I think there's a
20 lot of really good, positive momentum in the
21 direction we're trying to go. So hearing that
22 together with Europe, hearing that across the
23 different states, you know, folks are looking at
24 this and I think it's a, you know, happy with all
25 the engagement that we've gotten.

1 Certainly, the stakeholders that are here
2 with us today are really the lifeblood of the
3 process. So I want to thank you again all for
4 being here on Monday, today, and tomorrow. It's
5 a long week of hearings, so I really appreciate
6 everyone. So with that, I think and again, as
7 Payam said, I don't think -- I don't think he
8 said it again in a recorded piece, but this is
9 about the Express Terms, the 45-day language.
10 It's not about the Environmental Impact Report.
11 There will be a separate process for that. That
12 report has been posted and is available for
13 everyone to look at, but it is separate from
14 this. So I just wanted to be clear about that.
15 So with that, thanks a lot. And looking forward
16 to today. And back to you, Payam.

17 MR. TAM: Payam, I think you're I mean,
18 muted.

19 MR. BOZORGCHAMI: Sorry, I'm having a little bit
20 of computer issues this morning. Apologize.

21 So what we're going to be covering today,
22 as Commissioner McAllister alluded, we're going
23 to be starting out with the Low-rise Residential
24 Requirements for Mandatory Performance,
25 Prescriptive Additions, and Alterations. What

1 you see in red in the agenda, these areas and
2 these sections and subsections were presented on
3 Monday, May 24th. So we will not be presenting
4 on these areas again today. We will try to
5 provide a break, either after Subchapter 7, we
6 will have a quick open up to the microphones for
7 any questions and answers after Subchapter 7 and
8 8, or after every subchapter. And we will make
9 it, we'll look and do a time check and see if we
10 need to take a break and we'll take a break
11 either between Subchapter 7 or after Subchapter
12 8. After the residential sections are done, we
13 will open it up for all comments on the
14 residential sections. And if there is not, we
15 will do another time check and see if we should
16 go ahead and start Multifamily Section Subchapter
17 10. We -- starting with the mandatory
18 requirements. If not, we'll just jump into lunch
19 and do a 30 minute lunch break. Unfortunately,
20 we have a lot to cover, and I just want to make
21 sure that we're done before 5:00 o'clock.

22 So with that let me start like I always
23 start with the quick history of the -- of all
24 this process and how this all started.

25 Two California Assemblyman Charles Warren

1 and Al Alquist co-authored what is known today as
2 the Warren Alquist Act. This Act gives authority
3 to the Energy Commission to develop the Energy
4 Code on a triannual basis and local jurisdictions
5 to enforce the Energy Codes through the building
6 permit process. The Energy Code is developed to
7 reduce the wasteful uneconomic, inefficient, and
8 or unnecessary consumption of energy.

9 This Act was signed into law in 1974 by
10 Governor Ronald Reagan. The California Energy
11 Commission was launched by Governor Jerry Brown
12 in 1975 with the appointment of the first five
13 commissioners and the Commission immediately set
14 out to meet the extensive mandates of the Warren
15 Alquist Act, including the adoption of the first
16 Building Energy Efficiency Standards that went
17 into effect in 1978. Other goals that have been
18 recently bestowed on us here at the Energy
19 Commission to the Energy Code. We need to
20 consider reduction of greenhouse gases and some
21 of the ideas in some of the areas that we've
22 looked into, and we're still looking into, is
23 self-utilization of PV generation, looking at
24 reducing residential building impact on the
25 electricity grid and other areas that where we

1 can ensure cost effectiveness to society and to
2 the building owners as we move forward.

3 I always bring this slide up and a lot of
4 people are tired of this slide. But I just need
5 to make sure everyone's clear that California's
6 climatic zones are different than what IECC has
7 for California. IECC has Death Valley and
8 Sacramento in the same climate zone, that's
9 Climate zone 3. And that really doesn't make
10 sense for us here in California. So earlier on
11 in in Code development, back in the early 80s,
12 California decided to investigate the State and
13 look at heating degree days and cooling degree
14 days. And we came up with the 16 climate zones
15 that we are familiar with for California today.
16 California has -- Death Valley has Climate zone
17 15, one of the hottest regions in the country, if
18 not the world, and Climate zone 12 is Sacramento.

19 Staff, with the help of our consultants
20 and our utility partners, being Pacific Gas and
21 Electric, Southern California Edison, San Diego
22 Gas and Electric, Sacramento Municipal Utility
23 District, Los Angeles Department of Water and
24 Power, who with their consultants help support
25 our efforts and move into measures for 2022

1 forward.

2 For this Code cycle our utility partners
3 conducted or had 25 workshops where they
4 presented their proposed measures that they're
5 going to be proposing to the Energy Commission,
6 to the public and try to get feedback from the
7 public to make sure that they've picked up all
8 the concerns and comments and they have a
9 proposal that makes sense for California.

10 California's staff --Energy Commission staff
11 conducted 18 workshops during our Pre-Rulemaking
12 to present the proposed language as the proposed
13 measures that we're going to be discussing in
14 these hearings. And also what's been presented
15 for the 45-day Express Terms.

16 The Energy Commission also did receive
17 proposals from two entities, one being the
18 California Energy Alliance and another one from a
19 company named Furtive [ph.]. One thing I do
20 personally want to do, I would like to thank
21 Alana Torres, Heidi Warner from Energy Solution,
22 and Kelly Cunningham from Pacific Gas Electric,
23 who really did a fabulous job keeping the
24 coordination for the Pre-Rulemaking and the
25 continued support throughout the release of the

1 Express Term and the 45-day Language. Really,
2 without the three of them, we would not be where
3 we're at today. We'll still be at the drawing
4 board trying to figure things out. Everything
5 that we are presenting today did go through a
6 Lifecycle Cost Analysis using the latest TDV
7 values to show the cost effectiveness to the
8 building owner.

9 Attached is a schedule of bar codes for now
10 to the effective date. One question, one
11 comment, one request, one favor I have for
12 everybody is from these hearings that you're
13 hearing this week, these three Commissioner led
14 hearings, we would love to get your comments
15 sooner than later. Yes, formally, we were
16 supposed to get comments by June 21st, but if the
17 sooner we get your comments, the better we could
18 work on and get a better set of Standard Language
19 out for public review and adoption at our
20 business meeting that's going to be held on
21 August 11th. That doesn't mean that we're done.
22 We still have to work on a lot of things from now
23 to the effective date. That we still have
24 software to develop, we've got compliance manual,
25 the electronic documentations needs to be -- all

1 be developed. And we have to go to the
2 California Building Standards Commission for
3 approval by January of 20 -- or excuse me, I
4 think our date is set for December of 2021.

5 We're hoping that meanwhile, Staff and
6 consultants and the public, you folks were
7 working together to develop the compliance manual
8 and have those ready. Our goal is to have them
9 ready a year in advance of the effective date,
10 but I think with everything going on for this
11 Code cycle, with the Covid and all of the other
12 issues, I think we're might be a few months late
13 for that. So we might have -- we will have
14 those, at the latest, ready by February of 2022.

15 Earlier on, both myself and Commissioner
16 McAllister alluded that this workshop is not for
17 the discussion of the Environmental Impact
18 Report. We will not be taking any comments, or
19 we will not be presenting on any topics within
20 the Environmental Impact Report. This pretty
21 much is the only slide you will see on the
22 Environmental Impact Report. But if you're
23 interested, this is the website and the Docket
24 Number 21-BSTD-02, where you can get a copy of
25 the report, evaluate it, and if you have

1 comments, public comments are due by July 8th for
2 the Environmental Impact Report.

3 One ask I have is please do not make the
4 mistake of submitting comments to the Docket for
5 these hearings to this Docket Number. It will
6 not be evaluated. We have for this hearing, the
7 Docket Number is 21-BSTD-01. Once again, it's
8 21-BSTD-01. And our comments, we're hoping that
9 we get them sooner than later, but at the latest,
10 we need them by June 21st. You'll see this
11 Docket come up over and over again through the --
12 through the hearings today.

13 The Building Energy Efficiency Standards
14 email address and link, excuse me. The website
15 is here. This is where you can get the latest
16 information on Title 24, Part 6 and Part 1. All
17 the compliance documents and all the information
18 you need for compliance. And you can get a copy
19 of the latest or you could get directions to go
20 to the latest proposed measures for 2022. Our
21 Pre-Rulemaking Workshop Docket is where we have
22 all of our comments that we receive. All of the
23 Express Terms that we drafted during the Pre-
24 Rulemaking is on this website. And the last one
25 is the website to the utility sponsored

1 stakeholder website where the utilities have
2 comments and draft case reports of what they
3 proposed to the Energy Commission.

4 Once again, and I said that earlier, you
5 will see this slide over and over again. I just
6 want to make sure that you guys have the proper
7 information to submit comments to us. Here is
8 the link. And if you do want to, and I encourage
9 not to, but if you do want to, you can submit
10 your comments in writing at the address below.
11 And the reason I'm not encouraging you to do that
12 is because we're not in the office. And by the
13 time myself or Peter Strait or someone else gets
14 those comments, it might be a little bit short on
15 time to really dig in and try to evaluate the
16 comment and the concern.

17 With that, is there any questions? And
18 if not, we're going to go right into the
19 presentation by Danny Tam on the Mandatory
20 Minimum Express Terms for Residential Rise
21 Single-Family Buildings. Danny?

22 MR. TAM: Hi. Good morning. Hi. I'm
23 Danny Tam, CEC staff. I'll be presenting, along
24 with Jeff Miller, the Proposed Mandatory Changes
25 for Single-Family Buildings in Subchapter 7.

1 First, in Section 150.0(a), we are proposing to
2 add a new mandatory requirement for roof deck
3 insulation in climate zones 4, and 8 through 16.
4 The maximum U-factor would be .184. There is
5 also the exception if the ducts and air handler
6 are located in the conditioning space. This U-
7 Factor is based on R-4 below the deck of a 2.416
8 entron [ph.] center.

9 Okay. Section 150.0(j)1 is the mandatory
10 requirement for EnviroSource tank insulation. We
11 have a longstanding requirement for external
12 insulation wrap for unfired tank. And the
13 proposed changes are for clarity and to update
14 that required R-value based on the current
15 federal minimum standard for unfired storage
16 tank. We also have an existing alternative to
17 the wrap, and that has been written as an
18 exception. 150.0(j)2 is the mandatory pipe
19 insulation requirements. The proposed changes we
20 move some legacy Part 6 pipe insulation
21 requirements to align the Part 6 requirement with
22 the Part 5, the California Plumbing Code. This
23 is done to reduce confusion and for better code
24 compliance and enforcement.

25 Okay. Section 150.0(k), this is where we

1 organized to
2 improve usability and to reflect changes in
3 lighting. There are some updates to the
4 subsections to reflect changes in the lighting
5 marketplace from legacy light source to LED light
6 sources, as well as clarification of the indoor
7 lighting control requirements. There are also
8 updates to table 150.0(a), with clarifications on
9 inseparable SSL luminaires, LED tunable light
10 sources. Title 20 general service LED lamps and
11 others.

12 Currently there are two proposals 15-day
13 language change. One is to acquire -- require
14 JA10 flickering tests for LED tunable sources.
15 The second is to remove the color light source
16 from item 2. Item 4 has already included colored
17 light sources.

18 Okay. Now I turn over to Jeff Miller. He
19 will be presenting the rest of the section

20 MR. MILLER: Good morning. This is Jeff
21 Miller, Energy Commission staff. Are -- can you
22 hear me okay?

23 MR. TAM: Yes.

24 MR. MILLER: Thanks. Okay. Requirements
25 in 150.0(m)1B were revised to reduce the duct R-

1 value that is required when that system is
2 located entirely in conditioned space. Oops,
3 sorry. R-values were specified based on research
4 that determine moisture condensation on ducts
5 would not be expected to occur when ducts have
6 insulation with at least R-1 when the duct
7 surface emissivity is greater than or equal to
8 0.8. Or alternatively, insulation with at least
9 R-3 when the duct surface emissivity is less than
10 0.8.

11 Exception 1 was clarified to better
12 describe the characteristics of the exempt types
13 and their locations. The ducts intended to be
14 exempt are rectangular sheet metal ducts that
15 completely fill interior wall cavities, which
16 cannot be insulated due to there being no room in
17 the wall cavity to add insulation. CEC staff are
18 in dialogue with California homebuilder
19 stakeholders and space conditioning system
20 manufacturer stakeholders who have proposed
21 changes to this 45-day language. Therefore, the
22 R-value requirements shown in Section 150.0(m)1B
23 and the 45-day language may undergo revisions for
24 the 15-day day language, depending on the outcome
25 of CEC staff discussions with stakeholders and

1 further evaluation of the available research.

2 Next slide.

3 Section 150.0(m)11, which covers duct
4 sealing and duct testing was revised to delete
5 the reference to Residential Appendix Table
6 RA3.1-2 to explicitly reference the air handler
7 airflow specifications in Section RA3.1.4.2 and
8 to clarify terminology used for air handler
9 airflow. Section 150.0(m)12, which covers air
10 filtration, was revised to clarify that make-up
11 air systems must comply with the same
12 requirements as required for other supply
13 ventilation systems, and to add a new requirement
14 to specify air filter racks or grills be gasketed
15 or sealed to eliminate any gaps around the filter
16 to prevent air from bypassing the filter.
17 Requirement was needed because air filter bypass
18 can greatly degrade the air filter effectiveness.
19 Next slide.

20 Section 150.0(o) covers ventilation and
21 indoor air quality. The 2022 California Energy
22 Code Update proposes to adopt the most recent
23 version of ASHRAE 62.2 with the 2019 version.
24 ASHRAE 62.2 is the ANSI Standard for Ventilation
25 and Acceptable Indoor Air Quality in Residential

1 Buildings developed and published by the American
2 Society of Heating, Refrigerating and Air
3 Conditioning Engineers. The 2022 California
4 Energy Code Update also proposes California
5 amendments to the 2019 version of ASHRAE 62.2.
6 Section 150.0(o) was updated to specify the
7 sections of 2019 ASHRAE 62.2 that are not
8 proposed to be adopted by reference, which is
9 necessary in order to clarify the California
10 amendments to ASHRAE 62.2.

11 Mechanical ventilation, air flow rate
12 requirements are now specified only in Section
13 150.0(o). Thus the required ventilation airflow
14 is no longer specified by reference to ASHRAE
15 62.2.

16 Section 150.0(o)1B was updated to clarify
17 the requirements for central fan integrated
18 ventilation systems, including specifications for
19 use of outdoor air dampers, controls and variable
20 ventilation controls. The same requirements are
21 specified in the multifamily section. Next
22 slide.

23 Section 150.0(o)1G: Local Mechanical
24 Exhaust was added to incorporate the ASHRAE 62.2
25 Section 5 requirements entirely, to place them

1 into 150.0(o)1. This was done to better
2 facilitate specifying the proposed California
3 amendments to these local mechanical exhaust
4 requirements. The updated restrictive
5 ventilation duct sizing table in ASHRAE 62.2 is
6 included as a table 150.0-H. And ASHRAE 62.2
7 Table 5-2 is included in -- as table 150.0-F.
8 Next slide.

9 The next few slides describe the
10 California amendments to ASHRAE 62.2 local
11 exhaust requirements. ASHRAE 62.2 Table 5-1 is
12 included as Table 150.0-E with amendments to
13 incorporate the California proposed increased
14 airflow rates and capture efficiency for range
15 hoods. The ASHRAE 62.2 exception to Section 5.1
16 for alternating designs is not included in
17 Section 150.0(o)1G, thus it is not proposed to be
18 adopted by reference. Table 150.0-G, which is
19 new for kitchen range hood - kitchen range hood
20 ventilation rate and capture efficiency.
21 Justifies the California proposal for kitchen
22 range hood compliance for increased airflow rates
23 or alternative compliance using ASTM E3087
24 capture efficiency ratings. Next slide.

25 These are the proposed -- these are the

1 proposed new compliance targets for kitchen range
2 hood airflow or capture efficiency. The
3 applicant will be required to install a kitchen
4 range hood that is rated to meet or exceed either
5 the required capture efficiency or airflow target
6 as specified in this table, based on the floor
7 area of the dwelling unit and the fuel type
8 available in the dwelling units kitchen. Next
9 slide.

10 This slide continues the description of
11 the California amendments ASHRAE 62.2 local
12 exhaust requirements. The ASHRAE 62.2 Section
13 5.3 reference to ASHRAE Guideline 24 was not
14 included. This is because ASHRAE has withdrawn
15 guideline 24. Airflow rate measurement for local
16 exhaust by the installer was clarified in Section
17 150.0(o)1Giv as follows: Only the measurement
18 methods given in RA3.7 are specified. Option for
19 use of manufacturer's other airflow measurement
20 methods are not included. The airflow rate
21 required when capture efficiency is used for
22 compliance is specified to be greater than or
23 equal to the airflow rate corresponding to the
24 capture efficiency rating point. And Table
25 150.0(H), which a prescriptive duct size table

1 may be used when capture efficiency is used for
2 compliance, regardless of the static pressure at
3 the capture efficiency rating point. Next slide.

4 And these are the remaining California
5 amendments to 2019 ASHRAE 62.2. Sound ratings
6 specified in Sections 150.0(o)1Gvi and 150.0(o)1H
7 where it clarified to reference the flow rates
8 specified in Sections 150.0(o)1C and 150.0(o)1G
9 instead of the air flow rates specified in area
10 62.2 sections 4 and 5. And this is because all
11 airflow rates are now specified in Section
12 150.0(o) instead of by reference to ASHRAE 62.2.

13 Air flow measurement of whole-dwelling unit
14 ventilation in 150.0(o)1H specifies only the
15 methods in RA3.7. This is not a change for
16 California Energy Code, which has always
17 specified the protocols in RA7, but it is a
18 California amendment to ASHAE 62.2. The labeling
19 requirement for whole-dwelling unit system on-off
20 control in Section 150.0(o)1J was revised to
21 improve clarity. Section 150.0(o)1K is new, it
22 references the relevant combustion air and
23 outdoor makeup air requirements in California
24 Mechanical Code and ASHRAE 62.2 Section 6.4 and
25 limits use of atmospherically vented or a solid

1 fuel burning appliances to dwelling units greater
2 than 1000 square feet of floor area when the
3 appliance is installed inside the dwelling units
4 pressure boundary. Next slide.

5 And these are the changes to the HERS
6 Field Verification requirements in Section
7 150.0(o)2. Section 150.0(o)2A, whole-dwelling
8 unit ventilation airflow measurement has added
9 the ASHRAE 62.2 to specification for determining
10 balanced ventilation system air flow rate and the
11 ASHRAE 62.2 specification for measurement of
12 systems with multiple operating modes. Section
13 150.0(o)2B, kitchen local exhaust was clarified
14 to be applicable to vented range hoods. Also the
15 specification for use of capture efficiency
16 ratings for compliance has been added in
17 accordance with the proposed use of ASTM capture
18 efficiency ratings. In Section 150.0(o)2C is
19 new, it includes verification of the HRV or ERV
20 fan efficacy ≤ 1.0 watt per cfm. And this was
21 added to be consistent with the mandatory
22 requirement specified for multifamily systems.

23 And I believe that concludes my
24 presentation.

25 MR. BOZORGCHAMI: Thank you, Jeff. Thank

1 you, Danny. So we're going to open it up now for
2 questions and answers if you want. One thing I
3 do want to bring up, that if you feel that this
4 is not ample time, three minutes or less, you can
5 always submit your comments to our Docket, and we
6 will review those one more time and submitted
7 comments is just as valuable as raising your hand
8 and us hearing your comments here today. And
9 also, one thing I wanted to bring up one more
10 time is the sooner that we get your comments from
11 today's hearing, the better we are. If we could
12 get them by next week or the week after would be
13 best. Thank you.

14 And for that, I'm going to raise -- John
15 McHugh has raised his hand. Please state your
16 name and affiliation.

17 MR. MCHUGH: Can you hear me now?

18 MR. BOZORGCHAMI: Yes.

19 MR. MCHUGH: This is John McHugh
20 representing myself as a
21 private citizen. The following comments are
22 concerning the changes to Table 150.0(a), and
23 then ultimately how this is reflected in the new
24 Table 160.5(a) for the new multifamily section.
25 In the EIR document I submitted detailed comments

1 describing how the proposed changes would remove
2 consumer and health -- public health protections
3 associated with the JA8 requirements for testing,
4 listing, and labeling of lamp's in regards to
5 color, quality, flicker, longevity and which
6 lamps are suitable for installation in enclosed
7 or recessed luminaires. However, these comments
8 today are about the enforceability of the
9 proposal. Earlier this year, I downloaded the
10 JA8 database with a listing of all the quality
11 and performance characteristics described for
12 62,000 LEDs. Of these, 54,000 of the entries are
13 for inseparable luminaires and under the proposed
14 change, perhaps none of these would be required
15 to be JA8 tested, listed or labeled. There are
16 also 1,600 omnidirectional lamps in the JA8
17 database, and as Title 20 general service lamps,
18 these would no longer be required to be JA8
19 tested, listed or labeled. There are also 1,700
20 directional lamps, a substantial fraction. You
21 know, it's a little bit more difficult to
22 understand which is Title 20 regulated general
23 service lamps. So there's some, you know, that's
24 -- that creates another level. For the remaining
25 6% of the sources in the database, some fraction

1 of these would be exempted if they are dim to
2 warm or color tuning.

3 So this change is a major change to the
4 standards. And my concern in regards to
5 enforcement is that the proposal undermines the
6 relatively unambiguous regulatory regime of the
7 JA8 test list in labeling and renders this
8 simple, unambiguous and unenforcement of LED
9 efficacy and quality standards into something
10 that is ambiguous and difficult to enforce.
11 Under the current enforcement mechanism, if you
12 have an indoor luminaire that is capable of
13 providing white light, the luminaire or its light
14 source shall be labeled JA8. Under that
15 proposal, the building inspector would now have
16 to determine whether an inseparable light source
17 or colored light source is providing general
18 lighting or is providing decorative, accent,
19 display, utility, under cabinet, or special
20 effect. Has there been any discussion with
21 standards enforcement about the feasibility of
22 parsing this? I can imagine that there could be
23 some lawyering.

24 MR. BOZORGCHAMI: John.

25 MR. MCHUGH: Yeah.

1 MR. BOZORGCHAMI: I apologize, but you
2 need to wrap it.

3 MR. MCHUGH: I'll wrap up. Some were
4 kind of [indiscernible] for the Title 20 lamps.
5 These are not labeled so how does the inspector
6 know whether or not the Title 20 lamp is labeled?
7 I'll provide more detailed comments to the
8 record, but --

9 MR. BOZORGCHAMI: Thank you, John.

10 MR. MCHUGH: Yeah. Thank you.

11 MR. BOZORGCHAMI: Comment due noted.
12 Thank you, John. Peter, do you want to respond,
13 or do you want to respond later?

14 MR. STRAIT: I can -- I can provide a
15 limited response. But again, I think there's a
16 larger more detailed topic. And I would look
17 forward to going through the comments in writing.
18 There have been some differences in
19 interpretation of how the changes to the Table
20 150.0 would apply. You know, how many would of
21 the inseparable luminaires have either dim to
22 warm functionality or a color changing
23 functionality, etcetera? And the intent of how
24 we're trying to scope this, the intent of the
25 changes are that lamp -- luminaires that have dim

1 to warm or color shifting features necessarily
2 have ballasts rather than kind of like a
3 ballastless lamp. That would be theoretically
4 possible to connect directly with the line
5 voltage if it was operating a single color.

6 Because of these features, the question
7 is, is there a -- is there a similar risk of
8 flicker that there was for lamps that were
9 considered when these were -- regulations were
10 adopted? And if so, is there a risk that's
11 sufficient for a government intervention to be
12 appropriate? These are lamps that were, or these
13 are luminaires, I should say, that were not
14 originally considered when these regulations were
15 adopted. And so continuing to apply these
16 regulations to these new class of luminaires, we
17 have to evaluate whether it's appropriate too.
18 So and which requirements out of JA8 are
19 appropriate to do so.

20 We do agree that there may be a reason to
21 retain flicker requirements specifically, but
22 possibly not requirements in other areas. We're
23 going to be evaluating how we might either edit
24 J - edit the Table 150.0-A or edit JA8 to make
25 sure that we're applying appropriate standards to

1 appropriate products. But for example, we still
2 have a lumen maintenance requirement that was
3 critically important when LED lamps were first
4 emerging as a technology. But nowadays, every
5 luminaires that we see listed practically has a
6 lifespan well in excess of 100,000 hours, meaning
7 that it's questionable whether the -- a burn and
8 test that requires thousands of hours for a
9 manufacturer to complete remains necessary for
10 this technology.

11 So we're -- we will be evaluating some of
12 these on the subject of lamps that are regulated
13 by Title 20, this is just a question of removing
14 duplicate regulation. The requirements in Title
15 20 are substantively highly similar to, if not
16 identical with the requirements that we have here
17 for JA8. So we're bringing these two into
18 alignment. It wouldn't be true if these would be
19 unregulated, we would simply allow the Title 20
20 process to regulate these products and hold them
21 to an appropriate set of quality standards.

22 So we will -- we will consider the
23 comments that John McHugh is promising to prepare
24 and submit. We are going to be making some
25 revisions to how these apply. It is likely that

1 we will be retaining flicker standards, but that
2 other standards that don't -- that for where
3 the -- where these new class of products have not
4 demonstrated to have a shortcoming in need of
5 some sort of government oversight, we might pare
6 back what's required to apply to those products.
7 Again, in part because these products weren't
8 part of the original consideration when these
9 regulations were drafted. And we want -- we need
10 to do our due diligence to make sure that these
11 are still appropriate to apply and provide
12 material value in doing so.

13 Payam, if you are trying to speak you are
14 muted.

15 MR. BOZORGCHAMI: Kevin Messner, please
16 unmute yourself and state your name and your
17 affiliation.

18 MR. MESSNER: Thank you. This is Kevin
19 Messner, the senior vice president at
20 [indiscernible] Association of Home Appliance
21 Manufacturers. I will, debrief --

22 MR. BOZORGCHAMI: Kevin, I believe we just
23 lost your audio. Kevin, can you --

24 MR. MESSNER: I'm here.

25 MR. BOZORGCHAMI: Sorry about that. I

1 don't know what's going on.

2 MR. MESSNER: Okay. No problem. It's
3 Kevin Messner with the Association of Home
4 Appliance Manufacturers. I will be -- try to be
5 brief and will submit more detailed comments in
6 writing. But I just wanted to touch on a couple
7 issues. First of all, I really do want to thank
8 CEC staff and others. The work, I think it's
9 been -- you know, you all have been listening.
10 Speaker5: We still have some concerns with
11 issues. But I believe that you guys are
12 listening and have -- and have worked through
13 some things and some areas in a positive way. So
14 I want to thank you for that.

15 Couple of those are the issue that's been
16 around for a while with the issue with LED lamps
17 and range hoods with exhaust fans and the
18 problems that deal with LEDs degrading over time.
19 So it looks like that's been addressed in
20 150.0(k)1. Also, the addition of [indiscernible]
21 new directory in the building codes. That's good
22 to see. The table that looks at -- it treats the
23 gas, the CFM requirements are a lot higher for
24 gas than electric.
25 We may be commenting on that if it's realized

1 there's a overall objective to disadvantage gas,
2 but wanted to try to - we think that it's a -- it
3 may have gone, the scales might have gone a
4 little too far on that in an effort to try to
5 disadvantage it more than the data shows. But
6 we'll provide more details on that in our written
7 comments.

8 I think I'll just stop there and really,
9 again, wanted to say thanks for the collaboration
10 and the back and forth from Staff throughout.
11 This has been a long process. This goes back for
12 a long time. So I think some things are actually
13 being addressed in a good way, from our
14 perspective, and others gone a little too far.
15 But thanks again. I'll stop there.

16 MR. BOZORGCHAMI: Thank you, Kevin.
17 Next, Aaron I'm going to unmute you. Go ahead
18 and state your name and affiliation. Thank you.

19 MR. PHILLIPS: Thanks, Payam. This is
20 Aaron Phillips. I'm vice president of Technical
21 Services for the Asphalt Roofing Manufacturers
22 Association. And we just want to thank
23 Commissioner McAllister for hosting this hearing
24 and the CEC staff for providing this opportunity
25 for input. We've had good exchange with the

1 staff throughout this process and just to thank
2 them for that.

3 I do want to start out by saying many of
4 the proposed changes that are brought forward in
5 the Express Terms that affect the roofing
6 industry are reasonable, and ARM doesn't oppose
7 most of those, although we do not fully agree
8 with the cost justification for all of those
9 provisions. But I do want to share ARM's
10 objection to the proposed mandatory provision in
11 Subchapter Seven, Section 150.0(a.)1 that
12 requires a minimum amount of insulation at the
13 roof deck level of all newly constructed single-
14 family residential buildings and all additions to
15 such buildings. This provision was introduced
16 very late in the development process, providing
17 limited opportunity to assess it. Let me just
18 highlight a few concerns and we have offered
19 written comments as well into the docket.

20 First, when we mandate insulation at the
21 roof deck level. We're fundamentally changing
22 the design of attics and the dynamics of moisture
23 management in attics and potentially permitting
24 moisture build up, which can lead to mold and
25 mildew growth and create health issues for

1 occupants. This mandate permits numerous
2 combinations of insulation types and locations,
3 some of which may not function properly. And I'm
4 curious to know what steps have been taken to
5 validate that functionality for all the
6 combinations that the proposed language permits.

7 Second, all roofing systems have to
8 comply with other building code provisions of the
9 building and residential codes. And again, when
10 we just mandate putting insulation at a
11 particular location in the building, we
12 potentially affect compliance with those existing
13 provisions and create a conflict between the
14 buildings residential codes and the Energy Codes.
15 Just want to know if CEC has considered the
16 effect of this provision on potentially creating
17 such conflicts.

18 And then finally, just as a general
19 point, ARM is not a fan or an advocate of
20 mandatory requirements. We believe those
21 preclude innovation and apply a one size fits all
22 approach. We support flexibility in design and
23 construction as the best approach to achieve the
24 needed energy efficiency improvements.

25 So again, thanks to Commissioner

1 McAllister and CEC staff. We appreciate this
2 opportunity to offer our comments. Thank you.

3 MR. BOZORGCHAMI: Thank you, Aaron.

4 MR. SHIRAKH: May I ask a question?

5 MR. BOZORGCHAMI: Sure.

6 MR. SHIRAKH: This is Maziar Shirakh. So
7 this requirement is a R-4 roof deck insulation.
8 The prescriptive requirement currently is an R-19
9 in most cooling climate zones and all. So I
10 guess I'm a little bit puzzled at how is the
11 industry complying with the current R-19
12 prescriptive requirements. Are they -- this is a
13 substantial credit for R-19. Is it being traded
14 away, and if it is, what measures are being used
15 to trade away the R-19.

16 MR. PHILLIPS: Mazi, I don't -- I can't
17 speak directly to that. I can offer an opinion,
18 but we're not directly involved in the
19 installation of the insulation. That's more a
20 question for the designer and the insulation
21 installers.

22 MR. SHIRAKH: Mm-hmm.

23 MR. PHILLIPS: But my expectation is
24 they're probably using and installing all the
25 insulation at this -- at the roof deck level.

1 This provision really talks about splitting that
2 insulation and putting a portion of it at the
3 ceiling level and portion of it at the roof deck
4 level, which I think creates a lot of confusion
5 and a lot of potential problems.

6 MR. SHIRAKH: So I don't know, maybe
7 Payam can explain this, but this is not
8 splitting. I mean, we assume that this R-38 at
9 the ceiling level. And so this would require
10 just a minimal amount of insulation at the roof
11 deck and research has shown that even R-4 can
12 dramatically drop the attic temperature by 30
13 degrees Fahrenheit. And we're trying to
14 basically take advantage of that. And --

15 MR. BOZORGCHAMI: So one thing, Mazi. I
16 need to jump in real quick. When you say both
17 insulation at the roof deck and at the ceiling,
18 we're talking about a ventilated attic and a
19 study done by Ian Walker at LBNL on homes in the
20 Fresno Region and other regions around
21 California, showed that by doing so also, we
22 really did not see any mold or mildew growth, per
23 se. And as long as it's ventilated.

24 MR. SHIRAKH: Right. So if it's
25 ventilated, then we got two layers of insulation,

1 one at the roof deck, one at the ceiling. And
2 yeah, the LBNL and others have demonstrated that
3 there is no, potential no moisture issues. In
4 unventilated sealed attics all the insulation is
5 going to be at the roof deck anyways, and so I
6 don't know how that conflicts with this
7 provision. It's usually they use a spray foam,
8 and you automatically meet both the mandatory
9 requirement and the prescriptive requirement at
10 the same time. So you probably have to have
11 another --

12 MR. BOZORGCHAMI: Yeah. I think -- I
13 think, Aaron, we're going to have to have a
14 discussion offline on this issue.

15 MR. SHIRAKH: I want to understand your
16 issues better.

17 MR. PHILLIPS: Well, that would be
18 appreciated, Gentlemen. Thank you.

19 MR. SHIRAKH: Thank you.

20 MR. BOZORGCHAMI: Thank you, Aaron.
21 Thank you so much. Will, I'm going to unmute
22 you. Go ahead and state your name and
23 affiliation.

24 MR. ALLEN: I think I just unmuted
25 myself. This is Will Allen with ConSol. I just

1 wanted to comment on the duct insulation
2 exceptions that were mentioned earlier. I'd like
3 to thank, first of all, Payam and everyone else
4 at the CEC staff for the ongoing discussions
5 we've been having on that and note that we will
6 be submitting, you know, written comments in
7 advance of the 21st of June deadline. I just
8 wanted to note that we consider this to be the
9 tightening of the regulations compared to 2019.
10 Seems to be a solution in search of a problem,
11 given that the research that we're aware of
12 suggests that any condensation on uninsulated
13 ducts and cavities would not be an issue for
14 either building safety or energy use. And so
15 with that, again, thank you all for -- thanks to
16 Staff for the ongoing discussions we're having.

17 MR. BOZORGCHAMI: Thank you, Will. And
18 we look forward to keep that discussion and
19 dialogue going on that topic. Thank you.

20 MR. STRAIT: Given that there are no more
21 bystanders, should we do the typed Q&As?

22 MR. BOZARGCHAMI: Yes, please.

23 MR. STRAIT: All right. So taking these
24 in order, Laura Petrillo-Groh asks, Section
25 150.0(j)1 appears to have a conflict with the

1 Federal Standard for Unfired Hot Water Storage
2 Tanks. The Federal Efficiency Standards for
3 Unfired Hot Water Storage Tanks are established
4 with an insulation of R-12.5. Would we explain
5 how proposed insulation requirements -- our
6 proposed installation requirements do not create
7 a conflict?

8 MR. TAM: Yeah. This is Danny Tam, CEC
9 staff. I'll take that one. So the requirement,
10 it's the insulation wrap. So that's a
11 longstanding requirement going way back to the
12 80s. So there would -- the actual requirement is
13 the insulation wrap. So we provided an
14 alternative to that requirement if you have a
15 tank insulation of R-16 or above. So
16 that -- that's why that section was rewritten so
17 that, you know, that's more clear. That's
18 written as the exception. But the actual
19 requirement is the wrap itself.

20 MR. QAQUNDAH: And if I can just jump in,
21 if there's any more detail or anything, we would
22 encourage that comment to be submitted in writing
23 with any more detail so we could take a close
24 look at it as well.

25 MR. BOZORGCHAMI: And that was, Jimmy,

1 please state your name and affiliation.

2 MR. QAQUNDAH: Sorry. James Qaqundah.
3 Jimmy Qaqundah, from CCO.

4 MR. BOZORGCHAMI: He's a staff member at
5 the California Energy Commission.

6 MR. QAQUNDAH: Correct.

7 MR. STRAIGHT: Next question then is from
8 Gino Rota [ph.] who asks, with the new mandatory
9 roof insulation requirements, are there no
10 options to use the performance method to provide
11 an alternative solution?

12 MR. BOZORGCHAMI: The answer to that is
13 no, because this isn't mandatory. So the other
14 way is if you have no ducts, if you have no
15 mechanical system in the attic or so, they're
16 either in the living space or in the crawlspace,
17 that -- or if you do not have an attic. So a
18 rafter roofs -- so rafter roof, you do not need
19 to meet this requirement. This is for roof that
20 has an attic underneath it.

21 MR. SHIRAKH: What about the ducts in
22 conditioned space, Payam?

23 MR. BOZORGCHAMI: I said that ducts in
24 conditioned space or in the crawlspace.

25 MR. SHIRAKH: Yes.

1 MR. BOZORGCHAMI: Are also exempted.

2 MR. SHIRAKH: So there's other ways you
3 can do away with this.

4 MR. STRAIT: Those are the only questions
5 currently in the Q&A box.

6 MR. BOZORGCHAMI: Okay. I'm going to
7 open it up. Any more comments, concerns,
8 questions regarding the mandatory residential?
9 If not, and if you have comments, please submit
10 them to our docket sooner than later. And I just
11 received one raised hand from Mike Moore. Go
12 ahead and state your name affiliation.

13 MR. MOORE: Thank you, Payam. This is
14 Mike Moore with Stator LLC, representing HVI.
15 And thank you for the opportunity to speak today.
16 I did submit, on behalf of HVI, roughly 20 pages
17 of comments on this section and a few others. I
18 understand that we won't have the time to go over
19 those in detail today. But I just wanted to
20 express my desire to communicate further with CEC
21 staff on this and work through those details and
22 hopefully it can result in a -- in a clearer
23 standard and better outcome for everyone. So I
24 look forward to that opportunity.

25 MR. BOZORGCHAMI: Thank you, Mike. So

1 with that, Michael Shewmaker, would you like to
2 share your screen?

3 MR. SHEWMAKER: Sure. Give me one
4 second. All right. Hopefully, you guys can see
5 that. All right.

6 MR. BOZORGCHAMI: Perfect. Go ahead,
7 Mike.

8 MR. SHEWMAKER: All right. Thank you,
9 Payam, and good morning, everyone. My name is
10 Michael Shewmaker and I'm an Energy Commission
11 specialist in the Building Standards Office. And
12 this morning, I'm going to present to you the
13 proposed changes to Subchapter 8, Section 150.1.

14 Before I begin, I want to reiterate that
15 I will not be covering the proposed changes to
16 Space Heating and Space Cooling, Domestic Water
17 Heating, or the PV Requirement because that
18 information was covered in our Monday hearing.
19 So for those of you who are interested in those
20 topics, I would implore you to view the
21 presentation from Monday's hearing, a copy of
22 which can be found in the docket.

23 So this change did not make it into the
24 45-day Express Terms, and so we plan to include
25 it in the 15-day Language. But in Section

1 150.1(b)1, we plan to provide some clarification
2 on the various Energy Design Ratings and their
3 bearings on compliance. To summarize the changes
4 quickly, EDR 1 is based on source energy. EDR 2
5 is based on TDV energy and has two components,
6 the Energy Efficiency Design Rating and the Solar
7 Electric Generation and Demand Flexibility Design
8 Rating.

9 Your total EDR accounts for both the
10 Energy Efficiency Design Rating, as well as the
11 Solar Electric Generation and Demand Flexibility
12 Design Rating. And last, the proposed building
13 shall separately comply with the Source Energy
14 Design Rating, Energy Efficiency Design Rating
15 and the Total Energy Design Rating.

16 In Section 150.1(b)3B, we consolidated a
17 few of the field verification protocol
18 references, or EER, SEER, CEER, HSPF, and were
19 all consolidated into Subsection i.
20 Additionally, we added a reference to the
21 Variable Capacity Heat Pump protocol in
22 subsection ii.

23 In Section 150.1(c)10C, we added fan
24 efficacy requirements for central fan integrated
25 systems with small duct high velocity air

1 handling units. This was done to be consistent
2 with the mandatory requirements, and 150,0(m)13
3 with small duct high velocity and efficacy. I
4 should also note that for the 15-day Express
5 Terms we planning to move all of Section
6 150.1(c)10 with Section 150.0(m)13. This would
7 be a non-substantive change since there are no
8 performance compliance trade-offs applicable to
9 150.1(c)10.

10 In Section 150.1(c)11, we did a little
11 language cleanup and where we previously said
12 solar reflectance, we clarified that we are in
13 fact referring to aged solar reflectance.

14 In Section 150.1(c)12, we revised the
15 ventilation cooling requirements for whole-house
16 fans, and now references the Home Ventilating
17 Institute Certified Products Directory, instead
18 of the CEC's Title 20 Appliance Efficiency
19 Database, as it previously did.

20 And lastly, we added an exception to
21 accept detached accessory dwelling units from a
22 Whole House Fan requirements. So that's it for
23 the changes to Subchapter 8. And now, as much as
24 time will allow, we can open things up for
25 questions. Thank you.

1 MR. BOZORGCHAMI: Thank you, Mikey. I
2 don't have any raised hands. Peter is there any?

3 MR. STRAIT: There is one comment, and
4 I'm seeing if there is a question here. Bruce
5 Severence has a comment, but not a question. It
6 might be better if they make the comment live, as
7 it's -- the purpose of the Q&A box is not for
8 comments. I want to make sure that the Q&A box,
9 although we will retain these, is kept as a
10 vehicle for questions.

11 MR. BOZORGCHAMI: So technically, I'm not
12 seeing any questions, or I don't see any raised
13 hands either. So with that, I thank you, Mikey.
14 Excuse me, Mr. Shoemaker. So I think you want to
15 open it up for a quick break for about a 10
16 minute break, Commissioner. If that's OK with
17 you.

18 COMMISSIONER MCALLISTER: Yeah. I was
19 going to suggest the same. And that'll perhaps
20 give people a little more opportunity --

21 MR. BOZORGCHAMI: Sure.

22 COMMISSIONER MCALLISTER: -- to formulate
23 questions if they do have questions, but really
24 appreciate everyone for their attention and
25 questions. Very, very helpful. So ten-minute

1 break.

2 MR. BOZORGCHAMI: Thank you. Okay. So
3 we will be back, how about at 10:20 we will
4 restart.

5 (Off the record from 10:08 a.m. until
6 10:19 a.m.)

7 COMMISSIONER MCALLISTER: All right. Are
8 we ready to jump again?

9 MR. BOZORGCHAMI: I think we are. Thank
10 you.

11 COMMISSIONER MCALLISTER: Okay.

12 MR. BOZORGCHAMI: And I apologize for
13 earlier today. I may -- I could not see on my
14 computer screen. So whatever I did, I sincerely
15 apologize. So I think if Peter's online, I think
16 we have one comment that just came in or a -- or
17 a question came in, in the Q&A. Peter, do you
18 want to take that, or should I take that? Okay.
19 I think I'm going to take that as a comment from
20 Laura Petrillo-Groh, asking us for Section
21 150.1(b)3B may need to be updated to reflect a
22 new efficiency metrics for residential AC and
23 heat pumps.

24 We'll take a look at that and see if we
25 need to update that. Yeah, we'll communicate

1 with you, Laura, and we'll work with you. Thank
2 you.

3 We have a comment that came -- is coming
4 in from Russ King from CalCERTS. Can you please
5 elaborate on changes mentioned regarding Section
6 150.1(b)1 and the EDR?

7 I don't see any edits to that section in
8 the Express Terms.

9 MR. SHEWMAKER: Yeah, this is Michael
10 Shewmaker. So those changes did not make it into
11 the 45-day Express Terms. So they will be
12 included in the 15-day Language. But maybe we
13 could update that slide Payam, to include some of
14 those bullet points to share that information is
15 out there.

16 MR. BOZORGCHAMI: Sure.

17 MR. SHEWMAKER: So we'll update these
18 slides before posting it to the docket.

19 MR. BOZORGCHAMI: So we'll update that
20 Russ, and hopefully the new slides will be
21 available on our docket by tomorrow.

22 MR. BOZORGCHAMI: And another question --
23 a question that's coming from Laura Petrillo-Groh
24 is, would CEC please explain its justifications
25 for proposing to restrict atmospherically vented

1 combustion products from the dwelling unit over
2 1,000 square feet? And this is pertaining to
3 150.0(o)1K. Jeff, can you answer that question?

4 Jeff, if you're on call, you're muted

5 MR. MILLER: Sorry. Can you hear me now?

6 MR. BOZORGCHAMI: Yes.

7 MR. MILLER: Thanks. The Energy
8 Commission is proposing higher airflow rates for
9 kitchen range hoods. And so this requirement
10 only applies to atmospherically vented combustion
11 products that are located inside the air barrier
12 of a dwelling units. And so for smaller dwelling
13 units, the higher airflow rates from the kitchen
14 range hood poses a problem for back-drafting. So
15 that's the idea behind that. Does that answer
16 your question?

17 MR. BOZORGCHAMI: Laura, do you want to
18 raise your hand and I can unmute you and we can
19 have a dialogue, or if you're good, guess we're
20 going to move on, and we can have a side
21 conversation on that.

22 So Jeff, the question that is coming from
23 Laura is which case report is this covered in?

24 MR. MILLER: I think it should be in the
25 Indoor Air Quality Case Report, although I have

1 to go looking to find that.

2 MR. BOZORGCHAMI: Okay. Okay. Thank
3 you, Jeff. Thank you, Laura. Any other? If
4 not, I think Cheng, go ahead and start on the
5 Additions and Alterations for Residential,
6 please.

7 MR. MOUA: I'm sorry. I was muted. So
8 just to confirm, can you hear me okay?

9 MR. BOZORGCHAMI: Perfect. Go ahead.

10 MR. MOUA:? All right. And you see my
11 screen, right?

12 MR. BOZORGCHAMI: Yes, we can.

13 MR. MOUA: Okay. So thank you and good
14 morning, everyone. My name is Cheng Moua. I am
15 a mechanical engineer here in the Building
16 Standards Office. I'll be covering the 2022
17 Standard Subchapter 9. This is the Requirements
18 for Single-Family Additions and Alterations. The
19 subject matter areas that were revised include
20 some HVAC, some clarifying language relating to
21 IAQ, and some new envelope requirements. And
22 I'll be presenting them in that order.

23 So for HVAC there were, in general 4
24 revisions to the existing requirements. The
25 first one being the trigger for duct sealing and

1 duct insulation requirements. This is found in
2 Section 150.2(a) Exception 5 for additions, and
3 Section 150.2(b)1B for alterations.

4 For additions, duct sealing and duct
5 insulation requirements are now triggered if you
6 extend the ducts of any length to serve an
7 addition, you have to do that first test and
8 insulate to prescriptive levels. For the system
9 alterations, duct sealing and duct insulation
10 requirements are triggered when more than 25 feet
11 of new or replacement ducts are installed. So in
12 comparison, the current 2019 Standards trigger is
13 40 feet of ducts for both additions and
14 alterations.

15 The Duct Sealing Leakage Target was also
16 revised in the 2022 Standards. This is again
17 pertaining to prescriptive HERS duct testing in
18 Section 150.2(b)1D for altered ducts. And
19 150.2(b)1E for altered space conditioning
20 systems. They now to now require the HERS rater
21 to test the ducts and verify that the duct
22 leakage is equal to or less than 10% of the system
23 airflow or 7% or less leakage to the outside if
24 you choose that option. So again, 2019 Standards
25 are 15% and 10% respectively, to the outside.

1 Duct Insulation [indiscernible] for
2 Alterations are revised. This is to align with
3 new construction prescriptive requirements.
4 Doing that increases insulation levels for
5 Climate zones 1, 2, 4, 8, 9, 10, 12, and 13 from
6 R-6 to R-8, as summarized in this Table. There's
7 no change to the other Climate zones.

8 There is a revision to Section 150.2(b)1G
9 that prohibits electric resistance heating for
10 certain conditions. This is when the electric
11 resistance heating is being replaced. So current
12 Code allows replacement equipment to be the
13 existing fuel type. The 2022 requirement
14 prohibits electric resistant heating when that
15 heating system is part of a new or replacement
16 ducted cooling system. So this is intended to
17 move to heat pump technology when both electric
18 resistance and the cooling equipment is being
19 replaced. Again, does not apply to non-ducted
20 systems. Does not apply if only the electric
21 resistance heating equipment is being replaced,
22 or if you have no cooling.

23 Lastly, it doesn't apply to Climate zone
24 7 or 15. So moving onto the IAQ of ventilation
25 revisions. The revisions that were made were

1 mainly to clarify the requirements for specific
2 components of ventilation systems when it's part
3 of a addition or being altered from the 2019
4 Standards, in general, requires new or altered
5 components to meet the mandatory measures, which
6 the IAQ requirements are and points to those
7 applicable Sections in 150.0. The revisions here
8 are meant to be more explicit to describe what
9 IAQ requirements apply and when.

10 So for Whole Dwelling Unit Mechanical
11 Ventilation Section 150.2(a)1C, which is the
12 prescriptive requirement for additions and
13 150.2(a)2Cia, which is the Performance
14 Requirements for Additions. They were revised.
15 This revision moves the exception for additions
16 less than or equal to 1,000 square feet from the
17 Whole Dwelling Ventilation Requirements, down to
18 these new sections. So this also clarifies that
19 junior accessory units that are additions to an
20 existing building are also not required to meet
21 the Whole Dwelling Ventilation Requirements. So
22 junior accessory dwelling units are dwelling
23 units less than 500 square feet that are
24 contained within an existing single family
25 building. This is a new definition for the 2022

1 Standards.

2 Section 150.2(a)1Cii and Section
3 150.2(a)2Cii were revised for Local Mechanical
4 Exhaust Requirements in Section 150.0. So it's
5 basically there to clarify that it does not
6 apply, I mean does apply to additions. Sorry
7 about that. So if you add a kitchen or bathroom,
8 it has to comply with the Local Mechanical
9 Exhaust Requirements.

10 For alterations, Section 150.2(b)1L was
11 added for Entirely New or Complete Replacement
12 Ventilation systems. So this is installing a new
13 ventilation fan and at least 75% of new ducting.
14 So entirely new systems must comply with the same
15 mandatory requirements as new construction.

16 Section 150.2(b)1M was added to clarify
17 when Altered Ventilation Systems occur. It
18 specifies when replacement whole dwelling
19 ventilation fans must comply with airflow
20 requirements and be HERS verified. So it also
21 specifies when kitchen exhaust systems need to
22 comply with local ventilation requirements for
23 airflow or capture efficiency.

24 So in general, homes that were required
25 by a previous building permit to meet whole-

1 dwelling ventilation or kitchen exhaust
2 requirements, the replacement fans must, again,
3 meet the current requirements. So homes that
4 were built when Whole-dwelling or Kitchen Exhaust
5 Ventilation Requirements did not exist, don't
6 need to comply with the current Code.
7 Replacement bathroom fans must comply with Local
8 Ventilation Requirements in Section 150(o). Same
9 as new construction. And all replacement fans
10 must be rated for airflow and sound in accordance
11 with ASHRAE 62.2. And those requirements in
12 Section 150(o). And of course, replacement fans
13 must be rated with an airflow greater than the
14 airflow required for compliance.

15 Section 150.2(b)2A, which is the
16 Performance Approach for Alterations, was simply
17 revised to clarify that entirely new or altered
18 ventilation systems must comply with the sections
19 we just went over. So that's 150.2(b)1L and
20 150.2(b)1M.

21 Next we get into the Envelope Revisions
22 in Subchapter 9, Section 150.2(b)1I for Roof
23 Replacement and Roof Recovers was revised to
24 expand the current cool roof requirements for
25 steep-sloped and low-sloped roofs to additional

1 Climate zones. So this revises some of the --
2 this also revises some of the exceptions. As you
3 can see in the Table, for steep-sloped roofs in
4 Climate zones 4, 8, 9 now require a Solar
5 Reflectance of .2. And a Thermal Emittance of
6 .75.

7 For low-sloped roofs, Climate zones 4, 6
8 through 12, and 14 require a Solar Reflectance
9 of .63 and Thermal Emittance of .75. So the
10 revisions to this section also add a requirement
11 for above roof deck insulation for low-sloped
12 roofs. For this, requirement is R-14 above deck
13 in Climate zone 1, 2, 4, and 8 through 16.

14 Section 150.2(a)1B was revised to align
15 Attic Insulation for Additions less than or equal
16 to 700 square feet to the prescriptive new
17 construction requirements. So this increases
18 insulation levels for Climate zones 2, 4, 8, 9,
19 10 to R-38. Section 150.2(b)1B and Section
20 150.2(b)1J was revised for Attic Insulation
21 During Alterations. So when the entire duct
22 system located in the attic is in place, it also
23 now triggers the Attic Insulation Requirements.
24 Revisions also increased the attic insulation
25 when it's altered for some Climate zones. So

1 depending upon what the existing insulation level
2 is, that's showing in the Table here. Revisions
3 add requirement to air seal all accessible areas
4 of the ceiling plane between the attic and the
5 conditioned space. This is in accordance with
6 Section 110.7 of the Standards. And recessed
7 luminaires must be covered with insulation to the
8 same depth as the rest of the attic. But this
9 requires recessed luminaires to get IC rated.

10 Lastly, we have some known updates for
11 Subchapter 9 that we'll be revising for
12 draft -- for the draft 15-day Language. First is
13 to revise exceptions to Section 150.2(b)1Ji and
14 iii, eliminate the Third Party Verification of
15 Existing Conditions requirement. This is when
16 ceilings are being altered. But this change is
17 due to concerns over verification costs.

18 Also, Section 150.2 requirements has
19 quite a few references to the Mandatory 150.1 and
20 Tables that are currently being referenced in
21 Section 150.2 for additions and alterations. So
22 revisions to the 15-day Language will correct
23 some of these references.

24 So this completes my presentation for
25 Subchapter 9, the Additions and Alterations for

1 Single Family. We can take any questions if
2 there's any, Payam. Thank you.

3 MR. BOZORGCHAMI: Thank you, Cheng. Do
4 we have any raised hands. I don't at this time.
5 Peter, do you have any questions and answers?

6 MR. STRAIT: We do have one question in
7 the Q&A box, and this is from Laura Petrillo-Groh
8 who asks, are the cases when the kitchen fans, in
9 Additions or Alterations need to meet the higher
10 exhaust limits but is impacting atmospherically
11 [indiscernible] cases. I'm sorry. Not
12 [indiscernible], where these kitchen fans impact
13 atmospherically vented combustion equipment?

14 MR. MOUA: I'd be --

15 MR. BOZORGCHAMI: Okay. Go ahead.

16 MR. MOUA: Oh, I was going to say the
17 Kitchen Range Hood requirements would be
18 triggered for Alterations and Additions where
19 again, the requirement's applied at the time of
20 permit. So any additions and alterations where
21 the requirement applied at the time of a previous
22 permit, then they would need to comply again when
23 that kitchen fan is replaced.

24 Jeff, if you have anything more, to add
25 there.

1 MR. MILLER: Can you hear me?

2 MR. MOUA: Yes.

3 MR. MILLER: I -- I'd have to double
4 check the references. My best recollection is
5 that all of the requirements for local
6 ventilation should be required to be met for an
7 addition. So that would include the requirement
8 that atmospherically vented appliances should not
9 be used in the very small dwelling units, those
10 smaller than 1,000 square feet. But I have to
11 double check to see if its language is actually
12 structured that way. That's the intention, I
13 believe.

14 MR. MOUA: Yeah. Thank you. Yeah. The
15 question was. Yeah. For Alterations and
16 Additions so it's different scenarios there, but
17 yes, we'll get -- we can a double check on that.

18 MR. STRAIT: We did receive one
19 additional question. Bruce Severence asked -

20 MR. BOZORGCHAMI: Peter?

21 MR. STRAIT: Yes.

22 MR. BOZORGCHAMI: Can I interject real
23 quick? Laura just raised her hand too.

24 MR. STRAIT: Oh. Okay.

25 MR. BOZORGCHAMI: Let me, since we're on

1 the same topic, let's --

2 MR. STRAIT: Yeah.

3 MR. BOZORGCHAMI: Let's -- sorry about
4 that, Bruce.

5 MR. STRAIT: No that was a good catch.

6 MR. BOZORGCHAMI: Go ahead, Laura. State
7 your name and affiliation.

8 MS. PETRILLOI-GROH: Hello. This is
9 Laura Petrillo-Groh with the Air Conditioning,
10 Heating, and Refrigeration Institute. Thank you
11 for entertaining all my questions, especially
12 about the atmospherically and the atmospheric
13 atmospherically vented combustion products. So I
14 just want to make sure I understand you all
15 correctly. So in the case of alteration, the code
16 applied, and the code that -- it does not need to
17 meet the new code so I could install a
18 atmospherically vented combustion product in its
19 -- in an alteration under 100 -- under a 1,000
20 square feet. Is that correct?

21 MR. MILLER: Golly. I'm probably don't
22 completely understand your question. There are
23 differences in the requirements for additions as
24 compared to alterations. And if there was a pre-
25 existing appliance there, we wouldn't -- we

1 wouldn't force it to be removed. That's the way
2 we usually handle alterations. So is a question
3 about alterations or additions?

4 MS. PETRILLO-GROH: It was about both,
5 but I think you cleared up the additional portion
6 with your response, Jeff, so appreciated that. I
7 was just more interested if there was
8 a -- atmospherically vented water heater in a
9 dwelling under a 1,000 square feet, would it
10 appeared to be -- would it -- would this Code a
11 replacement in kind of that equipment type?

12 MR. MILLER: I would not expected
13 it -- that to be the case. You know, with that
14 said, these kinds of installations are not likely
15 to be present in newly constructed buildings.
16 And increasingly, I think these types of
17 installations are being replaced with closed
18 combustion appliances, which are safer for the
19 building occupants. Do you agree with that?

20 MS. PETRILLO-GROH: I know I live in a,
21 not in California, but in a 1,100 square foot
22 townhouse built in 1850 and I have an
23 atmospherically vented water heater.

24 MR. MILLER: Right.

25 MS. PETRILLO-GROH: So I'm just trying to

1 transpose the situation into California. I
2 appreciate the response.

3 MR. MILLER: Sure.

4 MR. BOZORGCHAMI: Peter, go ahead. Thank
5 you. Thank you, Laura. Thank you, Jeff.

6 MR. STRAIT: No problem. Bruce Severance
7 asks, if additional attic insulation is required
8 at time of duct replacement, is the additional
9 insulation required to be blown varieties that
10 burry insulation. And our new ducts consequently
11 required to be on the floor of the attic so they
12 can be buried?

13 MR. SHEWMAKER: This is Michael
14 Shewmaker. I can take that one. No. We do not
15 require any specific insulation type. So you can
16 use pretty much whatever you want. And no, there
17 is no proposed requirement that those dust be
18 located on the attic floor. But if that's, you
19 know, the route you kind of choose to go, you're
20 certainly open to that option.

21 MR. BOZORGCHAMI: Thank you, Mikey.

22 MR. STRAIT: I don't have any other
23 questions in the Q&A box currently.

24 MR. BOZORGCHAMI: Okay. So right now, I
25 think we're going to open it up for the question

1 and answer for the morning part. And I'm, like I
2 said, I'm going to put this slide back up for
3 people to know that you can submit your comments
4 in writing to our docket and this is just as
5 valuable as you presenting or participating live
6 here with us today. So any comments, any
7 questions on anything that you've heard so far
8 this morning? If not, Commissioner, are you okay
9 with us moving forward with the first part of the
10 afternoon, the Mandatory Minimum Requirements for
11 Multifamily Buildings? Commissioner?

12 COMMISSIONER MCALLISTER: Sorry about
13 that, Payam. I was using the wrong microphone.
14 Yeah, I'm fine if we're wrapped up with the
15 morning's agenda. I think it makes sense to
16 continue on and just push forward until our
17 previously scheduled lunch time.

18 MR. BOZORGCHAMI: Sure. Sure. Sure.
19 Thank you. And folks if we could get your
20 comments and questions to our dockets sooner.
21 Like I said again, I'm going to say it over and
22 over again by next week or the week after would
23 be very beneficial for us to get the proper
24 language out for adoption in August

25 With that, Javier Perez is going to be

1 taking over from here on. And he's going to be
2 presenting the Multifamily Mandatory Measure
3 Requirements.

4 MR. PEREZ: All right. Can you hear me
5 okay?

6 MR. STRAIT: Yes, we can hear you.

7 MR. BOZORGCHAMI: Yeah. Perfect.

8 MR. PEREZ: Okay. Thank you. So my
9 name's Javier Perez with the Building Standards
10 Office. I'm an Energy Commission specialists,
11 and I'll be doing all three subchapters for
12 multifamily buildings, this include, Mandatory
13 Measures, Prescriptive Requirements, and then
14 Additions and Alterations to Multifamily
15 Buildings. It's going to be a long day for me,
16 so hopefully you guys aren't too annoyed with my
17 voice.

18 So one of the things that we tried to
19 take care of with the Multifamily Requirements is
20 to try to merge the requirements as they pertain
21 to low-rise and high-rise multifamily buildings
22 and also relocate them to specific subsections
23 dedicated only to multifamily buildings. If
24 you're familiar with the 2019 Energy Code, or
25 really anything back to probably the 80s, there's

1 been a line drawn between low-rise residential
2 buildings, which are buildings with three or
3 fewer habitable stories, and high-rise
4 multifamily buildings, which are buildings with
5 four or more habitable stories. A habitable
6 stories is just a story that's 50% or more above
7 grade with -- designed for eating, living,
8 sleeping or cooking conditions, generally, and
9 above grade. I think conditions, generally, and
10 above grade is kind of how we describe it.

11 So having said that, what we try to do,
12 and this is something that industry and different
13 stakeholders requested, was to separate that line
14 and move all of the language into a separate
15 section to make it a little bit more simple for
16 navigation and determining which requirements
17 apply to these types of buildings. So we created
18 three new Multifamily Subchapter, Subchapters 10,
19 11 and 12. 10 being mandatory where we're at.
20 And then 11 and 12 later.

21 Where appropriate, we blended the
22 requirements, or merged them, and it was cost
23 effective and technically feasible. You know, we
24 applied the more restrictive requirement as much
25 as we could. And in areas where that was not an

1 option, clear lines were drawn to say we're going
2 to follow business as usual with low-rise
3 requirements following different requirements,
4 and high-rise requirements. There were also
5 increased efficiency measures that were
6 introduced, and I'll try to highlight all of that
7 material this afternoon. Or it's not afternoon.
8 Right now.

9 Okay. So what subchapters were affected
10 in the 2019 Energy Code High-rise Residential
11 Subchapters for Mandatory Requirements, existence
12 of Chapters 3 and 4, grouped in with
13 nonresidential and hotel motel requirements. And
14 for low-rise, this is in Subchapter 7. So all of
15 that language was moved into Subchapter 10, which
16 is what we're discussing today. All right. So
17 let's get into it.

18 Ceiling and Roof Insulation. One of the
19 things that was identified in this process was
20 that in multifamily buildings that don't have
21 attics, there can be significant challenges. And
22 we wanted to create a separate pathway for
23 multifamily buildings without attics, and as
24 compared to those with attics. So for Mandatory
25 Insulation, R-22 is the expectation when you have

1 a building with an attic. And this follows the
2 low-rise residential mandatory requirements
3 currently and previously found in Section 150.0.

4 Buildings without an attics -- without an
5 attic, the requirements vary by assembly type.
6 This generally follows the nonresidential
7 mandatory insulation requirements that previously
8 and continue to be found in 120.7. So whether
9 you have metal frame, metal building, wood frame,
10 those requirements vary, and they're treated
11 differently than buildings with attics. Okay.

12 Moving on to the Wall Insulation
13 Requirements. Again, we tried to merge the
14 requirements, and if you have wood frame, 2x4
15 assemblies, max U-factor of 0.102, which is the
16 result of having R- 13 and 2x4. But
17 [indiscernible] on center, if you have 2x6, the
18 expectation is R-19, or U-factor 0.071 in the
19 event that you have different types of wood
20 framed assemblies. And this follows -- low-rise
21 res also follows the high-rise res requirements
22 that were previously in the 2019 Code. Or I
23 guess that are currently in the 2019 Code. And
24 for all other assemblies, similar to the roof
25 level or ceiling that one insulation's

1 requirement they vary by. Assembly type, whether
2 it's a metal building, metal framed, or the light
3 mass, the requirements will vary.

4 So Raised Floor Insulation or Soffits, we
5 merged those requirements as well. Similarly, if
6 you've got a wood framed assembly and 2x6, R-19
7 is the mandatory requirement or U-factor. This
8 follows low-rise res requirements and applies to
9 all multifamily buildings moving forward. And
10 all other assembly types, again, vary by what is
11 designed, whether you raised mass, heated slab,
12 etcetera. Those requirements do vary, and again,
13 they're just pulled over from existing language
14 in the non-res high-rise res and hotel motel
15 mandatory requirements that currently exist in
16 120.7.

17 I tried to group these together and to
18 try to simplify some of the requirements that
19 they're just going to be common practice and I
20 don't think this is too much of a change. But
21 Vapor Retarder requirements exist only in the
22 low-rise residential sections and the mandatory
23 sections, and they apply to unvented and
24 controlled-ventilated crawl spaces, as well as to
25 assemblies in Climate zones 14 and 16. What

1 we've done is we've expanded those to apply to
2 all multifamily buildings, regardless of floors.

3 And similarly, for Fenestration Products,
4 low-rise residential has a mandatory maximum
5 weighted average U-factor of 0.58. If you're
6 curious what that looks like, it's dual pane
7 non-metal fenestration product. Operable is the
8 reference point for that. And that's not to say
9 that you can't install something that doesn't
10 meet that Weighted Average U-factor. The
11 weighted average component is essentially there
12 to stay as long as overall your windows can
13 average out to meet the U-factor of .058, you're
14 in compliance. And those numbers are pretty
15 reasonable as far as a mandatory measure.

16 Fireplaces, Decorative Gas Logs,
17 and -- Decorative Gas Appliances, and Gas Logs.
18 There are specific requirements for these systems
19 in low-rise residential buildings and again, have
20 been translated to apply to all multifamily
21 buildings moving forward.

22 Okay. Now, getting into the dwelling
23 units filtration indoor -- and indoor air quality
24 requirements. Jeff Miller spoke to that in some
25 detail this morning. And for the most part, the

1 dwelling units ventilation requirements follow
2 the single-family indoor air quality
3 requirements, with the following exceptions: the
4 ventilation rate requirements are a little bit
5 more restrictive in the sense that they require a
6 little more airflow. For multifamily unit,
7 that's consistent with current practice and
8 multifamily airflow rates are a little bit higher
9 than single-family dwelling units.

10 We also clarified terminology for
11 balanced and supply or exhaust systems with
12 compartmentalization. And we've also, again,
13 similar against low-rise res, introduced the new
14 maximum 1.0 watt per cfm for fan efficacy
15 requirements for balanced ventilation systems
16 that have heat recovery ventilators or energy
17 recovery ventilators. And again, these are for
18 systems serving individual dwelling units. So
19 that's -- this is the caveat for this
20 requirement.

21 Moving forward between 45 and
22 5th-day -- 15-day, we'll be modifying language to
23 identify which protocols are more appropriately
24 identified, which protocols are applicable for
25 testing of these systems with that reference --

1 the residential reference dependency testing
2 protocols applying to buildings with three or
3 fewer habitable stories. And then the
4 nonresidential appendices for buildings with four
5 or more habitable stories.

6 Okay. For multifamily buildings with
7 central ventilation systems, language has been
8 modified to more clearly describe what tolerances
9 are available for determining how much the
10 ventilation requirements can vary from dwelling
11 to dwelling when the system serves multiple
12 dwelling units. The idea is that the Energy Code
13 does require a minimum ventilation rate. From
14 there, the design ventilation rate, which is what
15 the designer will specify, can be higher than
16 that. And that higher point is where any
17 variances are measured.

18 So if you're here for the ventilation
19 requirements, this is language that was developed
20 and has some industry to make sure that we're
21 clear about how to apply those tolerances for
22 systems serving multiple dwelling units. And
23 Jeff Miller has been working on that extensively
24 to try and get that language to a place where
25 it's palatable for all audiences.

1 Now, with regards to HRV and ERV system
2 efficacy, we'll talk about this a little bit
3 later. But there are the prescriptive
4 requirements for ERVs and HRV for balance systems
5 serving individual dwelling units. There's an
6 establishment of minimum sensible recovery
7 efficiency and fan efficacy requirements. That
8 language, we'll hit on that a little bit later.
9 And 170.2 in the prescriptive section will likely
10 be moved over to this ventilation section to more
11 appropriately encompass all ventilation
12 requirements within one section for dwelling
13 units. So you may see some transplanting of
14 language at 15-day related to this requirement.

15 In this section for HRV also incorporates
16 certain HERS verification requirements for fan
17 efficacy and sensible heat recovery efficiency
18 requirements. Also as part of the 2022
19 requirements, central ventilation systems to have
20 to meet duct sealing requirements and leakage
21 testing requirements for those systems.

22 Okay. Common Areas. Common areas are
23 following the nonresidential ventilation
24 requirements of 120.1, which generally follows
25 ASHRAE 62.1. And 15-day Language, i's expected

1 to be modified to more appropriately identify the
2 common areas that we're talking about. We've got
3 a few definitions that we're trying to hone in
4 on, and the ventilation requirements for dwelling
5 units are very specific to dwelling units and any
6 common areas should follow nonresidential
7 ventilation requirements. And again, at 15-day,
8 you'll likely see modifications to more
9 appropriately reflect that intent, which follows
10 suit with ASHRAE 62.2 and 62.1s requirements.

11 Now, the last thing we did for
12 ventilation was if you're familiar with the 2019
13 Energy Code, there are ventilation requirements
14 for parking garages in the Covered Process
15 Section 120.6. That language has, generally a
16 reference to it has been reproduced here to make
17 sure that if you're looking for ventilation
18 requirements, that parking ventilation
19 requirements are also included in that section
20 for ease of readability and hopefully navigation.

21 All right. Now let's move on to HVAC
22 System Controls. We require a setback
23 thermostats in dwelling units and common living
24 areas, and that's consistent with the low-rise
25 res requirements or single-family in 2022. The

1 setback thermostats and been around as long as I
2 have, with regards to working on Energy Code.
3 And that goes back to at least 2005 and then
4 possibly further than that.

5 Common Service areas follow
6 nonresidential control requirements. And if
7 there were any changes to the non-res control
8 requirements, those were discussed on Monday.
9 Suffice to say that they follow non-resident, not
10 the residential requirements, although that
11 language has been reproduced in this section.

12 All right. Now, with regards to dwelling
13 units and space conditioning systems and ducts,
14 their insulation requirements follow, again,
15 single family expectations, though our current
16 draft does require 4.2 for ducts inside a
17 conditioned space. And if you were in attendance
18 during the morning session or the morning portion
19 when Jeff talked about the delineations that
20 happened for those sections, that will be
21 replicated here with R-1 or R-3 being the
22 expectation, depending on surface emissivity of
23 these ducts? And furthermore, like you
24 mentioned, there are continuing discussions with
25 manufacturers in the industry who are pushing for

1 a reduction to 0 per duct soon, 0 insulation for
2 ducts inside a conditioned space.

3 So there's that. There's research going
4 on. The point of that is to say it may go lower,
5 but this language is certainly subject to change.
6 But as of right now, the expectation is to have
7 this R-1 and R-3, depending on surface
8 emissivity.

9 All right. As far as duct ceiling
10 leakage and testing is concerned, this language
11 has been updated to match the single family
12 residential requirements in 2022. The leakage
13 targets are unchanged for multifamily buildings.
14 But one thing that I do want to point out, and I
15 think you'll find this consistently throughout
16 this presentation, is that any HERS verification
17 component that was applicable only to low-rise
18 residential buildings will continue to only be
19 applicable to low-rise residential buildings.
20 And that includes low-rise multifamily buildings.
21 We weren't looking to extend any HERS
22 verification measures beyond the three habitable
23 story line in this Code cycle.

24 And furthermore, in multifamily buildings
25 with four or more habitable stories in Climate

1 zones 1, 3, 5, and 7, it -- the testing
2 requirement really can pencil out cost
3 effectively. So that leakage testing is not
4 applicable to high-rise multifamily buildings in
5 those climate zones. In the climate zones where
6 it is applicable, it it'll be self-certification,
7 the installers going to perform that and is
8 expected to perform that test and satisfy the
9 leakage testing requirements.

10 All right, Airflow and Fan Efficacy
11 Requirements. And this is again, still talking
12 about systems serving only individual dwelling
13 units. These requirements, like the duct leakage
14 testing requirements have been extended to apply
15 to low-rise, I'm sorry. Extended to apply to
16 high-rise multifamily buildings as well.
17 Efficiency targets are still the same .45 or .58
18 watts per cfm, depending on the fuel source for
19 the ducted system. And airflow is still 350.
20 And there's the language pertaining to small duct
21 high velocity systems. Some language that was
22 introduced, I think in the 2019 Code cycle
23 continues to apply in the event that these
24 systems are used, though they seem to be very
25 infrequently used.

1 And again, the HERS measure will continue
2 to only apply to multi -- HERS verification
3 component of this service measure - of this
4 leakage - of this measure, will continue to only
5 apply to systems serving multifamily dwellings
6 with three or fewer habitable stories. If it's
7 four or more, the expectation is that a test be
8 completed, only that the installer is the one
9 responsible for that test.

10 For Water Heating, mandatory requirements
11 have been expanded. Low-rise heat-pump ready
12 requirements have been expanded to apply to all
13 multifamily buildings, and this is applicable
14 when a gas or propane water heaters installed to
15 serve individual dwelling units. The idea is
16 that we want those buildings to still be heat-
17 pump ready in the event that the building owner
18 or occupant wants to replace their gas appliance
19 with an electric heat-pump and all other
20 mandatory watering heating requirements were
21 merged. And Danny spoke to some of the changes
22 that did happen to the water heating insulation
23 requirements in the Single-family Section.

24 All right. Moving on to Lighting and
25 Mandatory Requirements. Inside of dwelling and

1 common living areas where we're at right now is
2 that these spaces will follow single family
3 lighting requirements. And when we say common
4 living areas, the best way that I can describe it
5 is a space that is shared by maybe multiple,
6 multiple families. Or if you think efficiency
7 dwelling units where maybe they have a shared
8 living room or shared kitchen, in general, that
9 that's a common living area. You know, we're
10 still trying to home in on these common areas
11 terms. Some discussions about moving to communal
12 living areas. So I would say stay tuned to find
13 out where we land on these terms. But and where
14 we are right now is that common living areas
15 follow single-family lighting requirements. And
16 this is the same convention in 2019's Energy
17 Code. If you're familiar with that in Section
18 130.0, it essentially says the dwelling units in
19 high-rise res, as well as guest rooms and hotel
20 motel follow the low-rise res indoor lighting
21 requirements so that that convention continues
22 through 2022.

23 Now, for common service areas, which
24 function more like nonresidential spaces, you
25 know the expectation of the requirement is that

1 they follow the nonresidential lighting
2 requirements, which is most appropriate for these
3 spaces. If you're familiar with the 2019 Energy
4 Code, there is language that allows for an 80/20
5 that allows, or that requires, nonresidential
6 lighting requirements if common areas are over
7 20% of the conditioned floor area. So that was
8 removed as part of the merging of the multifamily
9 requirements.

10 With regard to the Outdoor Lighting
11 Controls Equipment, assuming the outdoor lighting
12 is not controlled from within the dwelling units,
13 so like a porch light where you have the switch
14 inside of the dwelling, it's going to follow the
15 nonresidential requirements. And this is again,
16 an effort at simplifying where we draw these
17 lines and generally follows the 2019 Code.

18 All right. In the event that a sign is
19 installed in a multifamily building, it'll follow
20 the sign lighting requirements. That's not a
21 significant change in the Lighting Control
22 Acceptance Requirements are applicable to
23 lighting controls that are installed in common
24 service areas. So if you're familiar with the
25 non-res requirements, they're are acceptance

1 testing requirements for motion sensors, day
2 lighting control met responsive control
3 requirements. And those testing procedures
4 continue to apply to those systems in areas where
5 they act like more nonresidential spaces and/or
6 common service areas. And this again, still
7 continues to follow the 2019 Convention.

8 So Service Electrical Metering is
9 reproduced in the multifamily section, and it's
10 the same as the 2019 Energy Code again. So it's
11 just an attempt to relocate these -- language
12 that applies to multifamily buildings and to
13 multifamily sections, rather than have you flip
14 back and forth in pages. So it only applies to
15 electrical service or feeders providing power to
16 common use areas. And that's whether interior or
17 exterior.

18 As far as Separation of Electrical
19 Circuits are concerned for future metering or
20 determining energy consumption monitoring, this
21 follows non-res requirements, again, and there
22 are specific exclusions or exceptions added to
23 exclude these systems when they provide power to
24 dwelling units or common living areas.

25 The Voltage Drop, again copy and paste

1 requirements from the nonresidential section and
2 the controlled circuits, or 120-volt control
3 receptacle requirements have been reproduced,
4 again in the multifamily section. Now these
5 apply the common service areas. And if you want
6 to get into the weeds, they apply to specific
7 spaces in common service areas, which include
8 office areas, lobbies, conference rooms,
9 kitchens, I'm sorry, kitchens in office spaces
10 and coffee rooms. And again, this is -- follows
11 the nonresidential requirements.

12 So the covered processes that likely will
13 apply or likely will exist in multifamily
14 buildings, were addressed in Section 160.7
15 elevators and multifamily buildings, and pool and
16 spa systems. For elevators, efficient lighting
17 requirements in HVAC are ventilation
18 requirements, and fan efficacy power,
19 limitations, and occupant sensing control
20 requirements that make sure that these systems
21 aren't running when the space is vacated for a
22 specific period of time. There's no need to have
23 the lights on in an elevator when those elevators
24 are closed. And that's not new. That's been
25 around for, I believe two Code cycles already.

1 Pool and spa systems, whether in multifamily or
2 serving multifamily or single-family buildings,
3 have always had to comply with Section 110.4.
4 Anything in the 110s applies to all buildings,
5 not to non-res, not res all of them.

6 Now, what's changed in this Code cycle is
7 that we've got requirements in Section 150.0(p)
8 that address pool pumps and require multispeed
9 pumps, depending on the horsepower of those
10 pumps, as well as some pipe requirements. So
11 those system requirements have been expanded to
12 apply to pools in high-rise residential
13 buildings, but only when that pool is exclusively
14 for a single tenant. So I don't know how often
15 that happens, but in the event that it does,
16 there's no reason that those systems shouldn't be
17 efficient. So for that reason, those
18 requirements were expanded.

19 All right. Solar ready buildings. This
20 is again, minor changes in Section 110.10. But
21 in general, newly constructed buildings have to
22 meet solar ready requirements unless they already
23 have or are planning to have a PV system
24 installed. There are a number of exceptions to
25 reduce that size or get out of the requirements

1 in certain scenarios, but yeah, that language is
2 unchanged and exists in 110.10.

3 Electric-Ready. I do want to briefly
4 highlight that these requirements were
5 introduced, they were a significant part of
6 Monday's hearing. They have been added to
7 Section 160.9 and essentially require electric-
8 ready components or infrastructure for systems
9 serving individual dwelling units, space
10 conditioned systems, as well as cooktops, and
11 clothes dryers. Now if you've got clothes dryer
12 that's in a common use area or they're likely
13 multiple [indiscernible] requirements. Again,
14 that material was discussed in Monday's hearing.
15 I do want to make sure that it is identified,
16 that it exists here, but comments on that
17 certainly would be encouraged to be submitted in
18 writing to our docket.

19 And that's all of the mandatory
20 requirements. Payam, I'll open it up to you to
21 see if there are any questions.

22 MR. BOZORGCHAMI: Thank you, Javier. I
23 think we have two questions in the Q&A, but I
24 don't see any raised hand as of right now.
25 Peter, do want to read those out?

1 MR. STRAIT: Sure.

2 MR. BOZORGCHAMI: One -- let me pause
3 here real quick. I -- we do have one question on
4 150.2(b)1G. We'll wait and answer that at the
5 open session right before lunch. If that's OK.

6 MR. STRAIT: Okay.

7 MR. BOZORGCHAMI: I want to make
8 sure -- I want to make sure we deal with these
9 questions I have a mandatory minimum for
10 multifamily.

11 MR. STRAIT: Sure. So Gina Rota asks,
12 will the new mandatory roof insulation
13 requirements talked about earlier be applied to
14 multifamily?

15 MR. BOZORGCHAMI: Mike, do you want to
16 take that one?

17 MR. STRAIT: Yeah. Go for it.

18 MR. SHEWMAKER: This is Michael
19 Shewmaker. No, we are not proposing that
20 mandatory roof insulation requirement for
21 multifamily at this time.

22 MR. BOZORGCHAMI: All right. Michael
23 Joanny [ph.] asks, from a lighting perspective,
24 there are no changes in the requirements, as best
25 as I can tell. So rather than repeat the

1 requirements where they are the same, can the
2 Standard simply refer to the section number and
3 only have New Standard if the requirements differ
4 from elsewhere in the Standard?

5 I'll go ahead and quickly respond to
6 that. The purpose of the multifamily chapters is
7 to be standalone chapters so that
8 a person building to those standards does not
9 need to hop over to the Residential or
10 Nonresidential chapters of the Energy Code. And
11 that's why there is duplication of requirements
12 in the multifamily chapters.

13 MR. PEREZ: Yeah. And this was, you
14 know, at the behest of industry. You know, one
15 of the comments that we've received. You know, a
16 few times is that often, to find the requirement
17 for one specific components, you may have to jump
18 to two or three different sections and traverse a
19 lot of pages. And this attempt was to limit that
20 and to address those concerns. I think that we
21 would result, you know what you're requesting
22 would result in a significant number of less
23 pages for our Standard. But I think the
24 usability of it is something that we were trying
25 to capture and trying to address and satisfy

1 different stakeholders.

2 MR. BOZORGCHAMI: Thank you. I -- is
3 there any other questions? If not --

4 MR. STRAIT: Bruce Severance just
5 submitted a question.

6 MR. BOZORGCHAMI: Okay. Let's see.

7 Bruce Severance asks, are multifamily
8 requirements going to allow individual heat-pump
9 water heater units with compressors within a
10 conditioned space. And if so, have the case
11 teams fully considered the impact of having a
12 large air conditioner in conditioned space in
13 small apartments year round. And the impact this
14 configuration has on both water heater system
15 efficiency and air source pump efficiency.

16 MR. TAM: This is Danny Tam, CEC staff.
17 We allow them. We don't -- we specify how it
18 needs to be installed, but certainly the people
19 want either could be located on a outdoor
20 balcony. If it's inside it can be ducted, and
21 then [indiscernible] can ducted outside or
22 elsewhere. So it doesn't affect the space
23 conditioning load. So we're silent on how it
24 needs to be installed. We leave that up to the
25 designers.

1 MR. STRAIT: Yeah, there are multiple
2 options for the water heating systems serving
3 multifamily buildings. And we'll get to it in
4 probably 15 slides or so. But yeah, Danny's
5 answer takes care of it.

6 MR. STRAIT: Bruce Severence just
7 following up. If you're allowing non-ducted
8 variations, have you verified impact on
9 efficiency?

10 MR. TAM: Those - that will be modeled in
11 the software. The software does take in account
12 of the, you know, and all the effect. So just,
13 it is being dealt with in the software.

14 MR. BOZORGCHAMI: So that - so pretty
15 much that you have to do a performance evaluation
16 when you're doing this type of system. Correct
17 Danny?

18 MR. TAM: Let's allow prescriptively.
19 That's always been the case. Again, we just
20 leave it up to the designer. In most cases, if
21 it's non-ducted, it is perform equal or better
22 than being outdoor.

23 MR. BOZORGCHAMI: Okay. Thank you.

24 MR. STRAIT: And I believe that's all the
25 questions that we have in the Q&A box with you

1 understand that we're holding the questions asked
2 by Laura Petrillo-Groh to answer later.

3 MR. BOZORGCHAMI: Yeah. Thank you.

4 Thank you, Peter.

5 Commissioner. If you're okay, I'm going to open
6 it up for everything we've heard this morning so
7 far and open it up to all questions and comments.

8 COMMISSIONER MCALLISTER: Go ahead.

9 [indiscernible].

10 MR. STRAIT: Should we go ahead and jump
11 in. Yeah, we missed that.

12 MR. BOZORGCHAMI: Yeah. Hold on one
13 second, Peter. And we'll take a earlier lunch
14 break if possible.

15 COMMISSIONER MCALLISTER: Yeah, that
16 sounds good. Do you want to do some cleanup Q&A
17 on specific things that have been discussed this
18 morning?

19 MR. BOZORGCHAMI: Yes.

20 COMMISSIONER MCALLISTER: Just kind of
21 apprehensively, and then we can open up to a more
22 general public comment and then we'll call till
23 the previous time that we had schedule for lunch.
24 Just some people have a time certain.

25 MR. BOZORGCHAMI: Sure. Sure.

1 COMMISSIONER MCALLISTER: Great. Thanks
2 a lot.

3 MR. STRAIT: All right. I'll go ahead
4 and read these two questions while folks that are
5 attending can raise their hand if they want to
6 ask additional questions. The question from
7 Laura Petrillo-Groh is; a question regarding
8 150.2(b)1G, is electric resistance heating
9 proposed to be prohibited as a part of
10 heat-pumps?

11 It is common for strip heat to be
12 installed as emergency backup in the event the
13 heat-pump becomes inoperable during the heating
14 season. In freezing temperatures, emergency
15 strip heat would prevent pipes from bursting.

16 MR. MOUA: Yeah. I can take this one.
17 This is Cheng from the California Energy
18 Commission. It's not intended to apply to
19 electric resistance that are part of a heat-pump
20 system. So 150.2(b)1G is applicable to a
21 electric furnace, electric resistant furnace.

22 MR. STRAIT: And Laura asks a follow up,
23 also on the same section.

24 Eliminating resistance heat and relying
25 strictly on the heat-pump could result in a

1 system that is oversized in cooling. How would
2 this situation be addressed?

3 MR. SHIRAKH: This is Maziar. We're
4 not -- we're not proposing to eliminate electric
5 resistance from heat-pumps. Yeah, we presented
6 on Monday where electric heating is going. And
7 single-family heat-pumps are going into single-
8 family, multifamily, and nonresidential
9 buildings, and they're all allowed to have a
10 backup electric resistance.

11 MR. STRAIT: Those are the only questions
12 I'm seeing in the Q&A box.

13 MR. BOZORGCHAMI: Okay. Thank you,
14 Peter. Thank you, Maziar. Thank you, Danny and
15 Cheng.

16 Commissioner, what's your thoughts? I'm
17 not getting any other questions coming in in the
18 in the queue here. So should we maybe do a quick
19 lunch and then come back?

20 COMMISSIONER MCALLISTER: And there's
21 no -- there's no public comment. Just general
22 public comment. I just want to make sure
23 absolutely.

24 MR. BOZORGCHAMI: We had two so far.

25 COMMISSIONER MCALLISTER: Okay. Okay.

1 MR. STRAIT: There was one that was
2 submitted to the Q&A and I can read it into the
3 record if you would like.

4 COMMISSIONER MCALLISTER: Yeah, I mean
5 all the questions that I've heard have something
6 to do with the provisions that we've got over.
7 So I'm not just, you know if there's any member
8 of the public who just wants to comment on
9 generally the Building Code. We just want to
10 make sure that they've had a chance.

11 MR. BOZORGCHAMI: Sure. Sure. So --

12 COMMISSIONER MCALLISTER: It doesn't look
13 like it, does it.

14 MR. BOZORGCHAMI: Yeah. The floor is
15 open if anybody would like to make a comment, or
16 raise your hands, or submit something in the Q&A.
17 And we'll try and answer it?

18 COMMISSIONER MCALLISTER: Okay. I'm not
19 seeing anything. Let's see, you guys are
20 monitoring the chat as well, right?

21 MR. BOZORGCHAMI: Yes.

22 COMMISSIONER MCALLISTER: So there's
23 nothing there.

24 MR. BOZORGCHAMI: We have one. We may
25 oversite one area, Pipe Insulation and 160.4.

1 I'll tell you, we'll tackle that right after
2 lunch. We have to develop a slide for that.

3 COMMISSIONER MCALLISTER: Oh. Okay.

4 MR. BOZORGCHAMI: And then that will be
5 the first thing we -- have Javier bring it up
6 right after lunch.

7 COMMISSIONER MCALLISTER: Okay. That
8 sounds good.

9 MR. STRAIT: All right. Well, so going
10 once, going twice.

11 MR. BOZORGCHAMI: We got one raised hand.

12 MR. STRAIT: There we go.

13 MR. BOZORGCHAMI: James, go ahead and
14 state your name and affiliation, please.

15 I'm sorry. You're having. I apologize.
16 I Apologize. There's a bad connection.

17 MR. STRAIT: We're not able to understand
18 any of --

19 MR. BOZORGCHAMI: I had to. I'm sorry,
20 James, I had to mute you. We are not
21 understanding anything. It's -- I think you're
22 having a bad connection. I'm going to unmute you
23 one more time. Hopefully, something's adjusted.
24 Go ahead.

25 No. Yeah, we're still having the same

1 problem, so I had to mute you. How about this
2 right after lunch? When we come back, if you
3 could reset your system, we could take your
4 question first and move from there, if that's
5 okay, Commissioner?

6 COMMISSIONER MCALLISTER: Yeah. That's
7 fine.

8 MR. BOZORGCHAMI: Okay.

9 COMMISSIONER MCALLISTER: Well, I think
10 with that that we're ready to take a break. What
11 time were we convening?

12 MR. BOZORGCHAMI: Reconvene at 12:30. Do
13 an hour lunch, actually, if you like.

14 COMMISSIONER MCALLISTER: Yeah, that's
15 good. So the originally planned time of 12:30,
16 let's reconvene for the afternoon session.

17 MR. BOZORGCHAMI: Yes.

18 COMMISSIONER MCALLISTER: Thanks,
19 everyone.

20 MR. BOZORGCHAMI: Yeah. Thank you. So
21 we will reconvene at 12:30.

22 **(Off the record from 11:23 a.m. until 12:31 p.m.)**

23

1 **AFTERNOON SESSION**

2 MR. BOZORGCHAMI: Peter, would you please
3 read the comment that came from Mr. James Brown?

4 MR. STRAIT: Yeah. James Brown -- James
5 Brown had some technical issues and commented; I
6 represent a coalition of organizations and
7 community members in the City of Ventura called
8 the Westside Clean Air Coalition. If you are
9 paying attention to climate science, you may be
10 aware that the electrification of buildings
11 needed to happen yesterday. It won't be an easy
12 task. It'll be expensive, but the consequences
13 of inaction will be so, so, so, so, so much more
14 expensive and destructive that we cannot afford
15 to not do everything in our power as quickly as
16 possible. Waiting another three years to require
17 electrification would cost Californians one
18 billion dollars in unnecessary gas infrastructure
19 and lock them into 3 million tons of additional
20 carbon emissions by 2030. Please act ambitiously
21 with our future in mind. Thank you.

22 MR. BOZORGCHAMI: Thank you, Peter. So if
23 you guys remember, Mr. Brown was the participant
24 who was not able to get on before the lunch
25 break.

1 MR. STRAIT: Yeah. So now if I could.
2 I'd like to get the direction just to general
3 stakeholders. Although the Q&A box, we want to
4 reserve that for questions so that we can sift
5 those out to make sure they are answered. If
6 anyone is having any technical difficulties that
7 prevents you from commenting, then let us know
8 when we can have you take type it into the Q&A
9 box and read that into the record that way.

10 MR. BOZORGCHAMI: Yeah. And Peter's
11 right. And if that's not possible, you can
12 always submit it to the docket too. Thank you,
13 Peter. So now back to Javier. Javier, do you
14 want to share your screen and go over what we
15 needed to add to the presentation for this
16 morning? Javier, if you're talking, you're
17 muted.

18 MR. PEREZ: Can hear me okay?

19 MR. BOZORGCHAMI: Yes, perfect.

20 MR. PEREZ: Okay. Thank you. Okay.
21 Great. And can you see my screen now?

22 MR. BOZORGCHAMI: Yes, we can. Thank
23 you.

24 MR. PEREZ: Okay. Great. Okay. So
25 continuing on with where we left off. One thing

1 that I failed to mention earlier, and we've got a
2 slide for it, and we'll reinserted it in the
3 appropriate location before posting this. I'll
4 make sure to do that. Is that one of the
5 requirements that did change for multifamily
6 buildings, or water heating systems and pipes,
7 for systems that serve multifamily domestic hot
8 water systems was that for any pipe that's one
9 and a half inches or greater, the required
10 installation thickness has increased from one and
11 a half inches to two inches. That's represented
12 in this table in Table 160.4(a). And that's also
13 represented in the slides. Like I said, we'll
14 move this into one 160.4 and make sure that
15 that's posted after the session.

16 All right. You know, another thing that
17 that I think is important to address is that, you
18 know, with regards to the duplication of language
19 and the redundancy that may exist or does exist
20 in some of these sections. Another intent of
21 reorganizing this language in a way that
22 multifamily is grouped together was that,
23 for -- in -- for scenarios, where appropriate
24 that the multifamily specific requirements can
25 evolve independently from any nonresidential

1 sections that might be applicable or
2 single-family sections that might be applicable.
3 So it's fairly likely that in future Code cycles
4 you'll see less duplicity in some of those
5 sections where it might be appropriate to deviate
6 or increase or change requirements. So that is
7 addressing one of the comments that we had
8 earlier.

9 All right. Let's move on to the
10 Performance and Prescriptive Compliance
11 Approaches for Multifamily Buildings.

12 MR. BOZORGCHAMI: Javier, one second.
13 I'm sorry. I just wanted -- I just wanted to
14 make sure if there's any questions that came on
15 to -- on the topic they just brought up.

16 MR. STRAIT: I think there's one
17 unrelated question in Chat, but it's a very easy
18 answer. It's Laura Petrillo-Groh asks; does
19 Title 24 apply to manufactured housing?

20 And the answer is indirectly.
21 Manufactured Housing is regulated under Title 25
22 and Title 25 does make some reference to Title 24
23 Building Standards Code. Walking through exactly
24 how that interaction occurs and where it would
25 apply is tricky. So we can provide a detailed

1 answer in writing later. But not directly, but
2 indirectly, Title 24 provisions often will end up
3 applying to manufactured housing (sic).

4 MR. MILLER: And I'll look that up at the
5 next question session to see if they can more
6 appropriately, you know, more directly answer
7 that question. The challenge with manufactured
8 homes and factory built homes is that there are
9 very specific definitions and some of them have
10 to be Title 25 and some of them have to be Title
11 24, including the Energy Code. And those waters
12 are a little bit tricky to traverse.

13 MR. BOZORGCHAMI: Yeah.

14 MR. MILLER: So I do have some language
15 that that kind of addresses that and maybe we can
16 maybe do that in formal responses in writing
17 rather than, you know, try to stumble through my
18 words. That may be the best way to do it.

19 MR. BOZORGCHAMI: Yeah. Yeah.

20 COMMISSIONER MCALLISTER: Sorry
21 [indiscernible] raised his hands to continue to
22 answer that question.

23 UNKNOWN SPEAKER: No. I'm sorry. That
24 was -- that was my mistake. Sorry, Chair, or
25 sorry Commissioner.

1 COMMISSIONER MCALLISTER: Oh thanks.

2 Thanks. Appreciate it.

3 MR. PEREZ: All right. Okay. Well if
4 that -- are there anymore, Peter or Payam, before
5 we get started again? MR.

6 BOZORGCHAMI: I don't have any raised
7 hand. Peter, do you have any coming in?

8 MR. MILLER: No. Ted -- Tiffany
9 is -- I'm going to restate this as a question as
10 he's saying that it's unclear also how -- when it
11 comes to accessory dwelling units, ADUs that
12 happened to be manufactured housing are simply
13 considered manufactured housing. So there's some
14 overlap because some ADUs are accomplished
15 through using a manufactured home, but not all
16 ADUs are created by installing a manufactured
17 house. So those are technically distinct topics.
18 And then we can follow up with Laura for a more
19 detailed answer regarding manufactured housing.

20 MR. STRAIT: Any other ones?

21 MR. BOZORGCHAMI: Yeah, we're good.
22 Thank you, Peter. I think Javier, go ahead.

23 MR. PEREZ: All right. So continuing on.
24 Let's get into the Prescriptive and Performance
25 Compliance Approaches and Requirements for

1 Multifamily Buildings. Now, the way that the
2 2019 Energy Code exists, High-rise Residential
3 Subchapter is relative to Prescriptive and
4 Performance Compliance options. They're in the
5 140s, generally, 140.0 to 140.8 and low-rise is
6 in 50.1. And similar to the other sections, you
7 know, that language was moved into the 170s for
8 addressing all multifamily buildings moving
9 forward.

10 Now, what you are seeing here, the gold
11 text, represents language that has been modified
12 for the Standard and proposed design relevant to
13 the Performance Approach and how those budgets
14 will be determined. You know, this is something
15 that we're still trying to home in on and trying
16 to get this thing look right and making sure that
17 we are applying the appropriate energy metrics
18 for multifamily building moving forward. So
19 what's so interesting is that source energy and
20 time-dependent valuation energy is going to be
21 the metric for multifamily buildings moving
22 forward. Currently low-rise, multifamily and
23 low-rise single-family follow energy design
24 rating scores, and moving forward, for
25 multifamily buildings were shifting to these

1 metrics.

2 In Section 170.1(d), so we're still in
3 the Performance Approach. There are still
4 references to energy design rating scores. Those
5 have been taken out already. And again, the
6 15-day Language will represent the modifications
7 that we previously just went over. As far as
8 low-rise residential or multifamily buildings
9 with three or fewer habitable stories, any HERS
10 performance combines options that were in
11 existence will continue to be in existence for
12 those low-rise residential buildings to allow
13 credits and with the caveat that what's in 170.1
14 now, doesn't directly match within the low-rise
15 residential requirements. And that 150Day
16 Language will be matching.

17 All right. So moving to the Envelope
18 Component Requirements and Requirements for
19 Roofing Products or Cool Roofs, what's the more
20 common term. We've unified the roofing product
21 requirements across low and high-rise multifamily
22 buildings now. You know, if you know those
23 requirements, you know that they're
24 variants -- or they vary based on the pitch of
25 the roof and the Climate zone. Now, for

1 multifamily buildings, there are two added
2 layers. You know, the bottom being a scenario
3 without an attic, which is something that's new,
4 a prescriptive option that's been created for
5 2022 to more appropriately address and create
6 assemblies that are efficient but that do not
7 have a vented attic. In high-rise multifamily
8 buildings, that's less and less common. And one
9 of the movements, or one of the intents of adding
10 this section was to appropriately address those
11 assemblies and apply efficiency requirements that
12 are specific to those buildings more
13 appropriately.

14 The top two rows, if you're looking at
15 the left, I guess the ceiling insulation, and
16 between rafter roofs, and ducts in attic, and a
17 vented attic. And then the second one with ducts
18 conditioned space, those are mirrors of the
19 High-Performance attic requirements at low-rise
20 residential. And when they do exist in high-
21 rise, the requirements are following through.
22 You'll note that, again, depending on Climate
23 zone and depending on pitch in roof, the roofing
24 product requirements vary. But we did make an
25 effort to try to unify these requirements across

1 low and multi, low and high-rise multifamily
2 buildings. There previously was a requirement
3 for .55 in some climate zones for the Aged Solar
4 Reflectance requirement that was bumped up to a
5 .63 because in some climates it was found that
6 the added cost was zero. So in order to unify
7 that, it didn't make a difference with regards to
8 cost. So that was an attempt to, again, more
9 streamline and unify those requirements.

10 Continuing. As far as roof insulation
11 requirements are concerned. Again, this
12 is -- this is a scenario for high-performance
13 attics. And, you know we, expanding on that
14 scenario for buildings without attics, insulation
15 requirements vary depending on assembly type. If
16 it's a metal building, you can see the U-factor
17 there, and those are maximums for wood framed and
18 other. Depending on your Climate zone, the
19 requirements are different.

20 You'll find that Climate zone 7 being the
21 most mild of all our climate zones, or less
22 temperate. .039, it's the most lenient as far as
23 efficiency requirements because of the lack of
24 heating and cooling demand for those spaces, or
25 those buildings in those Zones or in that Zone.

1 With regards to Radiant Barriers, expanded this
2 across low-rise and high-rise multifamily
3 buildings that do have attics. In the event that
4 there is an attic, if the building has duct and
5 air handlers in the attic in climate zones 2 and
6 7, the requirement is to install the Radiant
7 Barrier. If the attic does not have a space
8 conditioning system in it, the rating barrier
9 requirements are triggered for climate zones 2
10 through 15.

11 With regards to wall insulation, one of
12 the things that was introduced here, along with
13 efficiency requirements, was trying to address
14 high-fire rated wall assembly types and the
15 challenges that they may encounter when trying to
16 achieve some of the higher efficient insulation
17 requirements that we have in our standard. So we
18 introduce variances that will be seen on the next
19 slide. And as far as insulation in general, for
20 walls, that the requirements to vary based on
21 assembly type, whether it's metal buildings,
22 heavy mass, and you've got all this there, and
23 the high-fire rating if it's framed, depending on
24 if it's 0 or 1, or 2 or 3 fire hours, or fire
25 rating.

1 All right. So this table is split up
2 into two slides because our tables are really
3 large. So depending on the wall type, again,
4 insulation requirements vary by climate zone.
5 Some of this was meeting in the middle, meaning
6 high-performance wall requirements, some
7 requirements were increased. But and you'll see
8 the less restrictive variance for walls that have
9 2 to 3 hour fire rating in the middle of this
10 table.

11 With regards to heavy mass and light
12 mass, insulation again varies by climate zone.
13 Colder climates obviously have different
14 requirements than the harder climates or the
15 milder climates, light mass is probably the
16 simplest of all of our insulation requirements
17 for these walls.

18 All right. And if you've done low-rise
19 or if you've dealt with low-rise and high-rise
20 multicompany requirements, or just low-rise and
21 high-rise residential requirements in general,
22 you'll know that we have two different area of
23 limitations for windows. Essentially, the more
24 window you have, the less efficient that wall is,
25 right. So there's some limits for low rise-rise

1 and high-rise is currently in 2019 Code and they
2 are different. Now what we've done in 2022's
3 proposal is to apply both thresholds. And what
4 that means is there is a 20% window-to-condition-
5 floor-area limitation. So say, for example, you
6 had 1,000 square feet, you are limited to 200
7 square feet of window. Now there is now also so
8 that that limit applies to all multifamily
9 buildings. And similarly, on the high-rise side,
10 there is a 40% window-to wall ratio limitation
11 and a 5% skylight to roof. Those requirements
12 are similar to being extended across all
13 multifamily building. So two thresholds, two
14 requirements, both have to be met, and we did
15 remove the 5% window to condition for area
16 limitation for west-facing glazing for
17 multifamily buildings moving forward.

18 Okay. With regards to Fenestration
19 Properties. Again, unification was the target
20 here. As much as we could, you know, we unified
21 the requirements across these different types of
22 multifamily buildings. There's different
23 categories for curtain wall and storefronts,
24 Performance Class Architectural Windows and then
25 the all other category. And the Architectural

1 Windows are something that's new to this Code
2 cycle. And this is something that was introduced
3 as part of the multifamily proposal to address
4 these windows a little bit differently in the
5 same way that we addressed the high-fire rating
6 for insulation requirement for walls. But that's
7 the similar variance there.

8 So we've got three categories. AW
9 windows are in the middle, architecture windows.
10 Those are in the middle of that. You'll note
11 that those requirements slightly vary from the
12 general or all other window and from the curtain
13 wall. Now, one thing that I do want to point
14 out, or a point of emphasis here is, so the
15 asterisk for the all other window, which are
16 typically going to serve your dwelling units.

17 In low-rise buildings there is no solar
18 heating coefficient limitation for climate zones
19 1, 3, 5, and 16. That's in 2019 Code. 2016 had
20 similar exceptions, and I and 2027 will follow
21 suit. The idea there is that those buildings
22 were found to benefit from solar heat gain. So
23 for that reason, they have no requirement. So
24 that will continue. That exemption from the
25 solar heat gain coefficient requirements will

1 continue to exist for low-rise multifamily
2 buildings or multifamily dwellings with three or
3 fewer habitable stories.

4 All right. With regards to determining
5 the effect of shading the SHGC value for
6 fenestration products. And where we settled was
7 to follow solar heat-gain coefficient calculation
8 or requirements for, currently only four
9 multifamily buildings. And we're applying that
10 across all low -- sorry, currently only for a
11 high-rise. We're applying that across all high
12 and low-rise while buildings against an attempt
13 to try to simplify what we're doing here and just
14 go with one way to determine these efficiencies
15 moving forward.

16 All right. Exterior doors have different
17 requirements, dwelling unit entry doors, if they
18 separate the dwelling from unconditioned space or
19 ambient air, if there's certain dwelling units
20 for bringing over the low-rise residential
21 prescriptive maximum U-factor 0.2. And if they
22 are common use area entry doors, they follow the
23 high-rise residential requirements, which
24 variance depending on climate zone and also
25 whether they are swinging or non-swinging doors.

1 So treating common areas more like high-rise or
2 non-rise and dwelling units, continuing more like
3 res, but applying that across the board,
4 regardless of height is, again, the intent there.

5 QII was something that was introduced
6 prescriptively in, I believe 2019 for low-rise
7 multifamily buildings. That will continue to
8 apply, but only to low-rise multifamily buildings
9 and obviously still to-low rise, single family as
10 well. But we did not expand the QII requirement
11 to any buildings that are more than three
12 habitable stories. Again, there was, not this
13 Code cycle, but may evaluated next Code cycle and
14 see where kind of the chips fall. There's some
15 challenges with determining cost and testing
16 procedures and various requirements. So stay
17 tuned. We'll see where we land in the Code
18 cycle.

19 All right. The nonresidential or multi
20 high-rise residential 2019 requirements have day
21 light requirements for large, enclosed spaces,
22 which I don't think are very common in
23 multifamily buildings. But in the event that
24 they do exist,
25 There is a minimum daylight requirement. And the

1 idea is if you've got a really large open space,
2 over a 5,000 square feet and a reasonable ceiling
3 height, there's an opportunity to introduce
4 daylighting or skylights to reduce some of the
5 demand that might exist on the lighting load.
6 Those open spaces, you can get a reasonable
7 amount of illumination with a fairly small
8 skylight, and that's something that's been
9 crossed over to multifamily, really. In any
10 event, that you have a really large, enclosed
11 space in the multifamily building. Once again, I
12 don't know if that's too common, but it would be
13 a requirement.

14 All right. So what you find in the
15 common area Space Conditioning, Sizing, Equipment
16 Selection and Calculation requirements is that
17 those calculations follow the 2019 Energy Code
18 requirements, which essentially say to figure out
19 the demand or the load for the system that is
20 needed, or the capacity of the system that is
21 needed, according ASHRAE's Handbook, Fundamentals
22 Volume. And then select a smallest size
23 available to satisfy that. Though that's
24 business as usual. That's not changing. Again,
25 that's for common areas.

1 With regards to Dwelling Unit Space
2 Conditioning Systems or systems that serve
3 dwelling units, we have made some edits to more
4 appropriately identify the systems that we're
5 intending to regulate. And some of this
6 language, well actually this requirement was
7 discussed in Monday's hearing, but again, I
8 feel it might still be appropriate to identify
9 that it does exist, and therefore dwelling units,
10 there are heat-pump space conditioning system
11 requirements depending on climate zone and then
12 some variance depending on if it's a building
13 with three or fewer habitable stories or four or
14 more. But again, these are prescriptive
15 requirements that nonperformance. And this was
16 addressed during Monday's session.

17 Refrigerant Charge. Coming back to HERS
18 verification measures that only existed in low-
19 rise residential buildings, it will still exist
20 as a HERS verification measure only for low-rise
21 residential building. But the testing procedure
22 or the test is going to be applicable to all
23 systems serving individual dwelling units. And I
24 mean, assuming the qualifiers for those
25 requirements are triggered. But again, we're not

1 expanding the HERS verification component of that
2 to high-rise multifamily buildings, only the
3 testing. So the self-certification for
4 installers is with the expectation for
5 multifamily buildings with four or more habitable
6 stories and again, climate zones 2 through -- 2
7 and 8 through 15. The few other qualifiers, but
8 those qualifiers haven't changed from 2019.

9 There is language on Central Fan
10 Integrated Ventilation Systems within the section
11 as well. Which is Dwelling Unit back here in
12 170.2(c)3B. But that language is likely going to
13 be moved over to the ventilation section, and you
14 -- this echoes
15 what you heard in the morning session, the
16 Prescriptive Chapter from, I think, Michael
17 Shewmaker spoke to that. We're relocating this
18 to the Ventilation Section for multifamily as
19 well.

20 New, this is a new requirement for 2022's
21 Energy Code. This is, again, Dwelling Unit Space
22 Conditioning Systems in climate zones 1, 2, and
23 11 through 16 in the event that the designer or
24 builder decides to install a balanced ventilation
25 system to meet the whole building ventilation

1 requirements, then the heat recovery ventilator
2 or an energy recovery ventilator must be
3 installed. And there are additional hoops with
4 regards to efficiencies for these systems. So
5 they're a little bit layered and detailed.
6 They're on the screen here, but this is a new
7 measure and there are efficiency targets for
8 these systems, and they serve individual dwelling
9 units and also when they serve multiple dwelling
10 units. And similarly to the other ventilation
11 requirement that we just spoke of, this language
12 likely will move to IQ Ventilation Section at 15-
13 day Language.

14 Now, with regards to spaces serving
15 common use, Air Conditioning System Serving
16 Common Use Area -- Space Conditioning Serving
17 Common Use Areas. They essentially follow the
18 nonresidential space conditioning system
19 requirements, though that language was reproduced
20 in this section and any new measures that were
21 proposed for nonresidential mechanical systems
22 and that were discussed on Monday's session are
23 reproduced here. And the intent is to treat
24 these in the same manner.

25 All right. Water Heating Systems. In

1 the first bullet it says not a change. This is
2 not new. If a recycling system is serving
3 individual dwelling units, then prescriptively,
4 the requirement is that it must be manual demand-
5 controlled recirculation system.

6 Now moving into Water Heating Systems
7 that serve individual dwelling units. The three
8 options, and these are all ors because there is
9 no requirement to install one or the other. You
10 have three. The first one, and actually, if I do
11 this a little bit differently, I might make it
12 better. But it's following the Codes
13 organization. But number two is probably the
14 most simple one in the event that a heat-pump is
15 installed. If you install a heat-pump that is
16 fairly efficient and it's a NEEA Tier 3, I
17 believe switch, I think was probably going to
18 recon in place or higher at this point. There
19 are no additional requirements except for in
20 climate zone 16, at which point there's water
21 heat recovery system requirements with the colder
22 climate has some different demands. Now in the
23 event that you do not install a highly efficient
24 water heater, heat-pump water heater that
25 satisfies the NEEA Tier 3. The expectation is

1 that in climate zones 1 and in 16, and keep in
2 mind these are the colder climate zones in
3 California, . Compact hot water distribution
4 system be installed. And then again, in climate
5 zone 16, there's still a prescriptive requirement
6 for drain water heat recovery system.

7 And the last option, again, these are
8 independent of each other, and the designer can
9 choose one of three. A gas instantaneous water
10 heater is still allowed, as long as it has a max
11 input of 200,000 btu's and no storage tank.

12 Was that -- not too much change there,
13 but a couple identified additional drain water
14 heat recovery system requirements.

15 Okay. Now moving into Systems Serving
16 Multiple Dwelling Units. I'm using the word
17 option here because there are multiple options
18 and there are requirements depending on the
19 option that's selected. So in the event that a
20 central heat-pump water heater is installed to
21 serve multiple dwelling units, then there is a
22 recirculation loop tank requirement. The heater
23 for the tank must be electric and capable of
24 multipass operation, with minimum tank
25 temperature requirements and a few other

1 measures, along with design documentation, as
2 described in JA14.4.

3 And the next option is in the event that
4 one decides to install a gas or propane water
5 heating option to serve multiple dwelling units,
6 then the requirements -- additional requirements
7 are triggered in climate zones 1 through 9. And
8 we'll explain why not 10 through 16 in a -- in a
9 slide here. So stay with me. These requirements
10 are triggered and aligning with ASHRAE. They're
11 triggered at -- when systems with total gas water
12 heating input capacity of one million BTUs or
13 greater. So minimum efficiency requirement of
14 90%, but that is a weighted average requirement.
15 So in the event that there are individual gas
16 water heaters as part of a larger system, as long
17 as the average satisfies that 90% efficiency,
18 that is in compliance. In the event that a water
19 heater is installed, that's part of that system
20 that is below 100,000 btu's, that will not be
21 counted towards our weighted average calculation.
22 That can be excluded.

23 And the final exception here is kind of
24 leading us into the next slide. So if this
25 central water heating system, whether it's gas or

1 propane, has at least 25% of its energy coming
2 from site-solar energy or site-recovery energy,
3 then everything I said is not applicable. And
4 this 25% exception is why the climate zones are
5 limited to 1 through 9. And more to the point,
6 that is because of the additional requirements
7 that we have on this slide. Right. So essential
8 water heating systems still have to include a
9 recirculation system, except for buildings where
10 there are fewer dwellings. But a solar water
11 heating system is required. And efficiency
12 requirements are described in 1 and 2.

13 One has a minimum solar saving fraction of .2
14 in climate zones 1 through 9. So you'll note
15 that doesn't satisfy the 25%exception that we
16 have, but in climate zone 10 through 16,
17 regardless of the option you select, you'll find
18 that the minimum solar savings fraction is over
19 that 25% recovery efficiency requirement. And
20 for that reason, the requirements on previous
21 slide do not apply in climate zones 10 through
22 16. And again, these requirements vary depending
23 on the option you choose.

24 All right. Lighting Within Dwelling
25 Units. This is -- in dwelling units, the

1 expectation is that lightning will follow the
2 single family requirements. Common living areas,
3 and we talked about this a little bit earlier and
4 we're still trying to home in on how to kind of
5 appropriately use these terms and not step on the
6 toes of other terms that are already defined in
7 Part 2. So this is something that we're still
8 revising. Common living areas, again, think of a
9 shared living room or a shared kitchen as a draft
10 language, as the 45-day Language is written now,
11 and those spaces are required to follow the
12 residential lighting requirements. We're looking
13 into this. We're still homing in on the right
14 way to address these spaces. So there may be
15 slight modifications here at 15-day Language.
16 Staff is still in discussions with stakeholders
17 and [indiscernible] try and make sure that we
18 appropriately apply efficiency requirements to
19 lighting systems in these common living areas.
20 So stay tuned on that one. But otherwise, you
21 know, these lighting and dwelling and just follow
22 single-family lighting requirements and any
23 changes to those requirements were covered in
24 this morning's session with Danny Tam.

25 Now, as far as common service area

1 lighting, that will follow the nonresidential
2 lighting requirements. And to summarize that in
3 two bullet points; there's lighting power
4 limitations and control requirements. Whereas in
5 residential lighting, it's really about efficacy,
6 light quality and less restrictive control
7 requirements and that's kind of how these two
8 vary. With regards to outdoor lighting, assuming
9 it's not controlled from within the dwelling
10 units that will follow the non-res outdoor
11 lighting requirements, and this is a slight
12 deviation, but it does significantly simplify
13 compliance or determining what requirements
14 should follow. Inside lighting, again continues
15 to follow nonresidential sign lighting
16 requirements.

17 All right. And this, again, was
18 something that was discussed in Monday's hearing.
19 This is the end of Section 170.2. This is where
20 we address the portable tank system, battery
21 storage requirements for low-rise and high-rise.
22 This is a very brief summary. The requirements
23 are a little bit different, depending on if there
24 are three or fewer habitable stories or four or
25 more. And it currently is written that language

1 in Section 172.2(f), (g), and (h), points to the
2 non-res and the single-family residential
3 respective sections, we'll be moving that over a
4 15-day. There were significant concerns about
5 the amount of edits that were being made and
6 making sure that we could make both of those
7 sections appropriately match each other. So at
8 15-day, we'll have that hammered out will be
9 replicated here.

10 That is the end of the Performance,
11 Prescriptive subchapter and I'll hand it over to
12 my Payam to see if there are any questions.

13 MR. BOZORGCHAMI: Thank you, Javier. I
14 don't have any raised hand as of right now, so
15 I'm going to have Peter jump on the Q&As and read
16 those out if possible.

17 MR. STRAIT: Sure.

18 MR. BOZORGCHAMI: And I think, apologies
19 Peter. Let me jump in here one more time. Laura
20 Petrillo-Groh, you have quite a few comments in
21 here, questions in here that I think we need to
22 have a verbal discussion with you because, here
23 during this hearing, because there's some
24 questions that we're not really getting a good
25 grasp of, so we need to ask some questions so we

1 can answer your concerns correctly. But
2 meanwhile, Peter, could you read Scott's comment?

3 MR. STRAIT: Sure. So Scott Blunk [ph.]
4 asks, why not use the term Time Dependent Source
5 in parallel with Time Dependent Valuation? While
6 gas may not be time dependent, electricity is and
7 the correlation with TDV is nice.

8 MR. SHIRAKH: This is Maziar. I can
9 perhaps answer that. I'm Maziar Shirakh, CEC
10 staff. So TDS is, in our opinion, is a -- not a
11 well-defined term. It stands for Time Dependent
12 Source Energy. The source of energy that we use
13 for our analysis and is being currently used in
14 his CPEC [ph.] is a particular kind, it's called
15 Long-run Marginal Source Energy. So there are
16 other variations of that. There's a Short-run
17 Marginal Source Energy and there is an Average
18 Source Energy. So they all have different
19 components and consequences. Again, the one we
20 use is the Long-run Marginal Source Energy.
21 Marginal refers to the fact that what is on the
22 margin for a particular hour of the day. A day
23 like today, very sunny, mild, it's probably right
24 now, solar is on the margin, and later on in the
25 day when the sun starts going down, it will

1 probably be a gas turbine. So this captures
2 those implications.

3 Long-run also considers the changes to
4 the grid as the grid becomes cleaner in
5 California. You know, we have these RPS goals
6 for 2030 and 2045. So the Long-run part of it
7 captures that, the Short-run does not. So the
8 TDS is used outside of California. Again, it's
9 just not well defined. But you know, having said
10 that, if says someday there is a convergence
11 between the two terms, you know, we can use it.
12 I mean, TDS rhymes well with TDV. But for now,
13 you know, we felt like because our source energy
14 has a specific meaning, we need to stick to that.
15 Thank you.

16 MR. BOZORGCHAMI: Thank you, Maziar.
17 Laura, I've unmuted you. Would you like to ask
18 your questions, verbally?

19 MS. PETRILLO-GROH: Yes. Absolutely.
20 This is Laura Petrillo-Groh with the Air
21 Conditioning, Heating, and Refrigeration
22 Institute. So looking at the proposed change in
23 170.1 for the Energy Budget for the Proposed
24 Building Performance Approach, I was wondering
25 what the impact of those changes are as it

1 relates to equipment that is supposed to only be
2 able to comply, even if it's [indiscernible]. So
3 it's my understanding that some of the changes
4 described on the Monday hearing require that
5 products such as gas furnaces and gas water
6 heaters would only be able to comply with Title
7 24 if using the Performance Approach. And so I
8 was just wondering if with -- if the -- if the
9 changes described here further impact those
10 products and want clarity to understand if
11 minimum efficiency products would still be able
12 to comply using the Performance Approach.

13 MR. BOZORGCHAMI: Maziar, do you want to
14 answer that question, based on the baselines that
15 we have designed?

16 MR. SHIRAKH: Yeah. The baselines are
17 all designed with the federally compliant
18 products for that product class. So you know, if
19 the building complies with all the other
20 prescriptive measures for windows, walls and
21 everything else then you know, the baseline
22 allows compliance with a minimally compliant
23 product. So I think that is -- that is the case.
24 Did that answer the question?

25 MS. PETRILLO-GROH: Thank you. Yes, it

1 does.

2 MR. SHIRAKH: You know, the slides that I
3 showed on Monday for the different building
4 categories, multifamily, single family,
5 nonresidential and all the different climate
6 zones, and were even given building types, well
7 then non-res had several different categories,
8 all the baseline recommendations included either
9 a minimally compliant heat-pump, or a minimally
10 compliant heat-pump space heater, or a minimally
11 compliant heat-pump water heater.

12 MS. PETRILLO-GROH: So yeah. I
13 understood that from your presentation on Monday,
14 and I was just seeking to understand what the
15 pathways were for certain products, such as
16 furnaces and water heaters.

17 MR. PEREZ: So the way that, first space
18 conditioning systems, the way the prescriptive
19 requirements are modified for system serving
20 dwelling units is that the baselines are going to
21 be based off of heat-pump space conditioning
22 systems. I think your question is what effect
23 will modeling a natural gas appliance --

24 MS. PETRILLO-GROH: Okay.

25 MR. PEREZ: -- space conditioning

1 appliance --

2 MS. PETRILLO-GROH: Yeah.

3 MR. PEREZ: -- for source energy, what
4 effect would that have?

5 MR. SHIRAKH : So, you know, all of our
6 approaches allows the natural gas path. It has
7 to either be done through the performance path.
8 And you may have to improve other building
9 components, such as windows or, you know, more
10 insulation. But there's always a path for
11 natural gas appliances to comply.

12 MR. PEREZ: Now, to answer the second
13 part of your question, Linda, as far as water
14 heating systems are concerned, there are three
15 options for system serving individual dwelling
16 units. Heat-pumps prescriptively, right. So
17 you've got heat-pumps and then you have gas or
18 instantaneous, I'm sorry, gas or propane
19 instantaneous water heaters. So that component
20 doesn't apply to multifamily in the way that you
21 think it does. With regards to systems serving
22 multiple dwelling units, again, you'll find that
23 there is a central heat-pump water heater option
24 and then a gas or propane water heating option.
25 I think that, hopefully, answers your second

1 part.

2 MS. PETRILLO-GROH: This does help. So
3 just to make sure that I'm crystal clear, and
4 since we're running a little bit ahead, I hope
5 this is okay that I'm taking the time like this.
6 If I was going to, I guess I'll ask it
7 separately. For single-family and multifamily,
8 if I was going to build a house or a building and
9 install minimum efficiency -- and I wanted to
10 install a minimum efficiency gas furnace and a
11 minimum efficiency gas water heater in that, in
12 each of those locations, multifamily and single
13 family, there's a pathway for that combination.
14 Is that correct?

15 MR. SHIRAKH: There is a pathway for
16 that. Correct. It might involve installing
17 additional non-preemptive features, such as
18 better insulation in the walls, or better
19 windows, or more roof-deck insulation. But yeah,
20 there is a path.

21 MR. BOZORGCHAMI: Yeah. The performance
22 path to allow you to go beyond the prescriptive
23 requirements. So, yes. Y you do have a pathway
24 going forward.

25 MS. PETRILLO-GROH: Thank you.

1 MR. SHIRAKH: There are other
2 technologies like dual-fuel heat-pumps. They can
3 come in handy, and they come with a standard
4 furnace and there's a variety of options
5 available.

6 But in general, yes. You can have a path power
7 for standard water heater or space heater, or
8 gas.

9 MS. PETRILLO-GROH: Thank you. My next
10 question is on 170.2. I just wanted to clarify
11 that the proposal is for climate zones 1 and 16.
12 That they are not -- that you would not be
13 permitted to use a traditional heat-pump
14 prescriptively, and multifamily four stories and
15 above? Is that -- am I understanding that
16 correctly?

17 MR. SHIRAKH: Yes.

18 MR. TAM: Are you talking about space
19 heating?

20 MR. STRAIT: I think so.

21 MS. PETRILLO-GROH: Yes.

22 MR. SHIRAKH: Yeah. They --

23 MR. TAM: Okay. So currently 116, the
24 prescriptive requirement is the dual-fuel pump so
25 prescriptively, you know, it cannot be a straight

1 heat-pump. So you can do it under performance.

2 MR. SHIRAKH: But if you do it on their
3 performance and you put a straight heat-pump
4 instead of dual-fuel, you'll have a penalty. So
5 you have to make that up. And in very cold
6 climate zones, dual-fuel heat-pumps actually
7 perform better than straight heat-pumps.

8 MR. PEREZ: I think your, Linda, your
9 question is answered at the bottom of the slide
10 here.

11 MS. PETRILLO-GROH: Thank you.

12 MR. PEREZ: Sure.

13 MS. PETRILLO-GROH: I appreciate the time
14 and answering those question.

15 MR. PEREZ: Well thanks for
16 participating. I certainly appreciate it.
17 Otherwise, I'm just talking to myself.

18 MR. BOZORGCHAMI: Yeah. Thank you,
19 Laura. Those are good questions, and I think a
20 lot of people may have had the same questions.
21 Thank you.

22 Peter, anybody else? Any other
23 questions?

24 MR. STRAIT: Yes. Let me resolve both of
25 these. Danny, I see that you started typing an

1 answer to Laura, I'll need you to close that so I
2 can resolve the question.

3 MR. TAM: Oh. Sorry.

4 MR. STRAIT: Thank you. And then an
5 anonymous attendee asked the email site says that
6 comments must be received by 5-21-21. Has this
7 changed? And can we send comments via email
8 still?

9 MR. BOZORGCHAMI: The answer to that is
10 yes. Absolutely. 5-21-21 is the end of the 45-
11 day Language. So if you would like, actually, we
12 encourage you to submit your comments to us
13 earlier than later. So even by email, that would
14 be best. Most likely we will docket that email
15 as a comment to the records, but the sooner we
16 get your comments, the better we are.

17 COMMISSIONER MCALLISTER: Hey, Payam and
18 crew, I just wanted to chime in. So just a
19 second. What you just Payam, you know the docket
20 really is the place where comments need to go.
21 So if, just know everyone, if you send staff an
22 email or you kind of, you know, take a slightly
23 more informal route with communication with
24 staff, it's pretty much assured that that
25 communication will go into the docket. So just

1 wanted to --

2 MR. BOZORGCHAMI: Yes.

3 COMMISSIONER MCALLISTER: -- we're
4 basically obligated to keep the docket updated
5 with that sort of communications. So I think,
6 just that expectation, I wanted to make sure it
7 was clear that.

8 MR. BOZORGCHAMI: Yes, exactly. Exactly.

9 MR. STRAIT: That -- so I'm sorry - June
10 22nd, not May 22nd.

11 MR. BOZORGCHAMI: That is true.

12 MR. STRAIT: Yeah.

13 MR. BOZORGCHAMI: It is June 22nd.

14 MR. STRAIT: 21st. 21st.

15 MR. BOZORGCHAMI: Oh, what did I say?
16 21st. Sorry, Peter. I'm getting confused with
17 my numbers.

18 MR. STRAIT: Yeah. Sorry. So yeah, I'll
19 mark these as answered. And those are the only
20 questions I have at this time in the question and
21 answer box.

22 COMMISSIONER MCALLISTER: All right.
23 Well if there's nothing else, Payam, I'll -- do
24 you want to truck through or do you want to take
25 a break? How are you feeling?

1 MR. BOZORGCHAMI: I think -- I think we
2 need to take a 10 minute break.

3 MR. TAM: I think that we probably need
4 to change the recording on the - for the court
5 recorder.

6 COMMISSIONER MCALLISTER: Okay.

7 MR. BOZORGCHAMI: So if it's possible,
8 Commissioner, can we take a break till 1:30?

9 COMMISSIONER MCALLISTER: Absolutely.
10 Yeah. Thanks a lot, guys. Nice job, Javier.

11 MR. PEREZ: Thank you.

12 COMMISSIONER MCALLISTER: Nice job,
13 everyone. Appreciate it.

14 MR. BOZORGCHAMI: Thank you. Thank you.
15 And meanwhile, if anybody would like to submit a
16 question to the question and answer, you're more
17 than welcome to and we'll, before we reconvene
18 with the Additions and Alterations, we will try
19 to answer. Thank you.

20 **(Off the record from 1:20 p.m. until 1:30 p.m.)**

21 MR. BOZORGCHAMI: Yeah. Go ahead,
22 Javier. You're -- yeah. Go ahead and present
23 your first screen.

24 MR. PEREZ: All right. The home stretch.
25 Thanks for your patience. And before I forget, I

1 certainly do want to say thanks to the entire
2 team. This is a lot of information. And I've
3 been able to bother a lot of people to make sure
4 that we get this right, whether it's on our team
5 or on the Case teams, or even other stakeholders.
6 So I certainly appreciate everyone's willingness
7 to help get this language to a point that's
8 palatable and that's enforceable, and able to be
9 compliant with at the state level. So all right.
10 Let's wrap this thing up.

11 So we've got Multifamily Requirements for
12 Additions, Alterations and Repairs in this final
13 subchapter. Where they existed previously in
14 High-Rise Residential was Subchapter 6, The
15 Residential, Additions, Alterations and Repairs
16 Chapter, or 141.0 if you're familiar with our
17 code. And for a Low-Rise, they exist in
18 Subchapter 9, which was gone over this morning,
19 that now only applies to single-family
20 residential buildings. Now, all of this language
21 has been moved and where efficiencies were
22 increases -- increased, you know all that
23 language now exists for multifamily buildings in
24 Subchapter 12. So four sections, 180.0 through
25 180.4. I think that's right. I may have to

1 double check that. But Subchapter 12 is where
2 the Additions, Alterations and Repairs
3 Requirements exist.

4 All right. So right off the bat, our
5 Additions Section has multiple exceptions to kind
6 of exempt specific systems or specific components
7 from the requirements. And this first exception
8 is actually something that may be removed, and
9 not because these ventilation systems are not
10 subject to this requirement, and naturally, my
11 cat snuck into this room, so I may have to kick
12 him out. I apologize.

13 MR. BOZORGCHAMI: Apologies, these things
14 happen when you work from home.

15 MR. PEREZ: You've met Ghost. He is
16 hungry. This is the name of the game.

17 All right. So as far as Ventilation,
18 Airflow, Grate Requirements for Additions under
19 1,000, the language in the appropriate section
20 where this is required has been modified to no
21 longer apply to systems for additions under
22 1,000. So that exception is likely going to be
23 removed when we get that language honed in pretty
24 well, which will be a 15-day. Roofing product
25 requirements are exempt for additions 300 square

1 feet or less. Pipe insulation requirements for
2 existing inaccessible piping, that exception's
3 been applied across the board. If you're
4 familiar with our pipe insulation requirements or
5 our water heating alteration requirements, what
6 we say is only accessible pipe while the watering
7 heating system is being replaced shall be
8 insulated, unless it already had insulation. But
9 if it's inaccessible, then there's not much to
10 talk about.

11 Some extensions, exceptions, and probably
12 one of the more important ones that I do think we
13 need to highlight is that the PV and battery
14 storage system requirements are not applicable to
15 additions, nor are they applicable to
16 alterations. Those are strictly newly
17 constructed requirements. And they're -- we're
18 still, again, modifying language just a bit to
19 make sure that we address that, the heat-pump
20 specific requirements that apply to newly
21 constructed buildings or newly constructed
22 multifamily buildings for systems that serve
23 dwelling units are not referenced within the
24 Additions Section. With regards to additions and
25 for alterations, the replacement system can be a

1 heat-pump or a gas heating system that follows
2 some common practice.

3 All right. As far as envelope
4 requirements are concerned, the low-rise
5 residential requirements had variance for the
6 envelope insulation requirements depending on the
7 size of the addition. In other words, additions
8 over 700 had stronger requirements and then under
9 700 have less restrictive requirements for those
10 alternatives were moved over and some insulation,
11 what do we want to say, variances or concessions
12 were made for existing assemblies and that, again
13 just follows through from what existed in the
14 low-rise residential buildings.

15 In the High-Rise Residential Alteration
16 Requirements Section for 2019 there was an
17 exception for the solar ready requirements for
18 built -- for additions that increased from areas
19 of by 2,000 square feet or less. We brought that
20 over to apply to all low-rise, sorry, multifamily
21 buildings. So if an addition increases the roof
22 area of a building by more -- by 2,000 square
23 feet or less, Solar Ready Requirements do not
24 apply

25 All right. Mechanical Ventilation

1 Requirements for Indoor Air Quality for dwelling
2 units will match the requirements for a
3 single-family dwelling units. And ventilation
4 requirements, as described here that, you know,
5 the dwelling unit ventilation will follow
6 single-family, is consistent throughout
7 Subchapter 12. So additions, alterations, all of
8 the language that Cheng discussed as far as
9 ventilation requirements for these additions or
10 alterations for single-family, extrapolated or
11 expanded, are equally applied to multifamily
12 dwelling units.

13 With regards to the Performance Approach
14 and the options, this is language probably looks
15 familiar. It's -- there's still the option to
16 comply with the additional alone, kind of
17 treating it like an island, or existing plus
18 addition plus alteration. Which means, you know
19 an addition, maybe it's not as efficient, so
20 you're going to alter some of the existing
21 components to make up for that lack of
22 efficiency. And that's just kind of following
23 through to all multifamily buildings.

24 All right. Alterations. Again
25 similarly, exceptions where they existed and they

1 applied to high-rise systems, some of that
2 language was brought over to apply to all
3 multifamily buildings. In the event that, you
4 know, you have existing space commissioning
5 systems, there isn't an expectation to replace or
6 for that, say for example air handler, to meet
7 additional efficiency requirements if you're just
8 extending that. And then it should go without
9 saying, but the exceptions there to make sure
10 that we're appropriately applying only
11 requirements to altered components and
12 identifying what those altered components are. A
13 few other exceptions, VAV, an economizer, FDD or
14 Fall Detection Diagnostic exceptions were added
15 in mirroring what was previously in existence in
16 the high-rise residential sections.

17 All right. So as far as envelope
18 requirements for Envelope Mandatory Requirements
19 for Insulation, this language was brought
20 directly over from the High-Rise Multifamily
21 Mandatory Installation Requirements. So what
22 existed there with regards to different
23 assemblies, whether it was metal building, metal
24 frame, wood frame, or other, those mandatory
25 insulation requirements were brought over to

1 apply to all multifamily buildings rather than
2 just high-rise res, as they existed in 2019. And
3 the exception was added of light and heavy mass
4 walls.

5 All right. With regards to the roofing
6 product requirements, again, we've merged
7 requirements to apply to 50% of roof area
8 alterations, or more than 2000 square feet. So
9 when you do exceed one of those thresholds,
10 either/or, there are roofing product
11 requirements. So the first requirement that
12 you'll see here is for low-sloped roofs in
13 climate zones 2, 4, and 6 through 15, minimum
14 aged solar reflectance and thermal emittance
15 requirements, or a SRI, which is a Solar
16 Reflectance Index. So the Reflectance Index
17 requirement of 64. And if you're not familiar
18 with that calculation, it's just a blend of the
19 two, aged solar reflectance, thermal emittance
20 values and punching it into a calculation and see
21 where the chips lie.

22 All right. Below is the insulation
23 tradeoff for aged solar reflectance requirements.
24 Essentially, what we're saying is in the event
25 that, you know, aged solar reflectance

1 requirements might be prohibitive or not
2 desirable for a designer or a builder, then that
3 reduction -- that requirement can be reduced to
4 minimum aged solar reflectance requirement can be
5 reduced as we see on the left hand column, if
6 insulation is installed as follows in the
7 subsequent columns. Depending on your climate
8 zone, the requirements to vary.

9 All right. Continuing. This is roofing
10 products section is a little bit long. But
11 moving to steep-sloped roofs in climate zones 4,
12 and 8 through 15, this is the same trigger, 50%
13 or 2,000 square feet of roof. A aged solar
14 reflectance requirements .20. And thermal
15 emittance, not aged, this is strictly just
16 thermal emittance, is 0.75 or a minimum SRI of
17 16. There are a number of exceptions to the
18 roofing product requirements. At every cold
19 cycle, the exceptions are, my preference is
20 alternatives, but in Code language, this is an
21 exception to a requirement. It is that we've got
22 four this time around, insulation being an easy
23 trade off. Radiant barriers in the attic, that's
24 fine as long as it's not directly above spaced or
25 skipped sheathing. If you don't have ducts in

1 your attic in the climate zones listed in the
2 second to last bullet, 2, 4, 9, 10, 12, and 14,
3 then there's no roofing product requirement for
4 these steep-sloped roofs. And if you have R-2 or
5 greater continuous insulation above or below the
6 roof deck, again it's an alternative to
7 installing a roofing product that meets the
8 values of top care.

9 All right. Now this is a new measure,
10 and it was discussed in the Low-Rise Alterations
11 Section. And I'm going to try and also describe
12 it because it's got some qualifiers. So we've
13 got insulation requirements when duct systems are
14 entirely new. And I'm going have to read this
15 because it's very meticulously worded, and I
16 worded it this way, so I have to read this one to
17 make sure I get it right. So duct systems are
18 completely -- are new or completely replaced as
19 part of an alteration, and, and again this second
20 qualifier has to exist for the following
21 requirements to apply, and the air handler and
22 ducts are located within a vented attic. So if
23 these two things are satisfied, then the
24 following applies, okay.: So in climate zones 1
25 through 4, it has R-49 insulation requirement or

1 a max U-factor 0.020.

2 Now, there are exceptions to all of these
3 requirements. The first one has exceptions in
4 climate zones 1, 3, 4 and 19 with dwelling units
5 with at least R-19 existing insulation. I went
6 back to 1982's Energy Code and even at that point
7 there were mandatory R-19 insulation requirements
8 for residential buildings. So to expect say, if
9 the building was built in the last 40 years, it
10 would likely have been a mandatory requirement to
11 have at least R-19. You go back to 80 and 78,
12 the U-factors are a little bit tricky, and it
13 depends on the assembly type. And I don't know,
14 I can only go back to 82 before I can -- I can't
15 make any sense of the Energy Code. So in climate
16 zones 2, and 11 through 16, I'm moving away from
17 that insulation requirement. There is an air
18 sealing requirement. I'm sorry, a sealing
19 requirement for the ceiling. Saying that twice.
20 Sealing with an S and then ceiling, as in the top
21 portion of your conditioned space between the
22 attic and conditioned space.

23 Again, exception if you have that R-19
24 mandatory insulation requirement. And in the
25 last 40 years, if it was built to code, you

1 likely have it. And even then, older buildings
2 may have already been weatherized or updated to
3 be a little more efficient. For example, this
4 home was a 1920s home, so there certainly wasn't
5 any Energy Code requirements and I don't have R-
6 19 in my attic. So that's how it is for this
7 building. There's also an exception for dwelling
8 units with atmospherically vented space or water
9 heating combustion appliances within that
10 pressure boundary.

11 So the 15-day language -- so as described
12 here, is the intent of where we are for this
13 requirement. The wording in the 45-day is still
14 being worked on. So at 15, this is likely where
15 we're going to fall. But, you know, just know
16 that this language is still being massaged a
17 little bit to make sure that we can fully
18 encompass the intent and when these requirements
19 do apply.

20 Okay. So similarly, following on the
21 requirements for attics in existing buildings
22 when the systems are completely new or if they're
23 entirely replaced and where the air handler and
24 ducts are located within a vented attic, any
25 recessed downlight luminaries in ceilings need to

1 be -- need to be covered with insulation, the
2 same depth as the rest of the ceiling and any
3 non-IC rated cans need to be fitted with fire-
4 roof cover to make
5 sure that there aren't any issues. Non-IC is
6 non-insulation contact. And then in climate
7 zones 1 through 4, 8 through 10, again, if you've
8 got R- 19 already, keep it moving, the
9 requirement does not apply. And again, we're
10 going to hopefully get this language in a place
11 where we want it, probably in the next week. So
12 that should be fine.

13 All right. The last component of this
14 requirement is exceptions to all the requirements
15 that we just talked about before that trigger
16 where you're replacing the entire duct system, or
17 it's completely new and the HVAC is in the attic.
18 Dwelling units, if you've already got R-38, if
19 there's asbestos, knob and tube wiring, which the
20 1920s house does have, or where accessible space
21 in the attic is not large enough to accommodate,
22 you know, the requirements. And we've had that
23 exception or some variation of it for a little
24 while now in the Residential Alteration Section.
25 Essentially what we say is just fill the cavity,

1 but also don't forget some of the added language
2 to make sure that you don't forget that there are
3 ventilation, attic ventilation requirements in
4 other parts of Title 24. So if necessary, add
5 baffles. You know, make it so that you can still
6 satisfy the appropriate ventilation requirements
7 in these attic assemblies.

8 All right. The last exception is if the
9 attic space is shared with other dwelling units
10 and only -- and not -- and the other dwelling
11 units are not triggering this requirement. All
12 right. Another section that is still being
13 massaged, but I think the intent of the
14 requirement is appropriately depicted here. And
15 this is tied to roof alteration. So the same
16 trigger as the roofing product requirements if
17 the roof's being replaced, recovered, or
18 recoated, and if more than 50% of the roof, or
19 more than 2,000 square feet of the roof is
20 undergoing that change, then in specific climate
21 zones, 1, 2, 4, and 8 through 16, there's a
22 continuous insulation requirement of R-14 or
23 equivalent U-factor.

24 A few exceptions, that R-10 there, then
25 you're fine as is. There are scenarios where

1 mechanical equipment create challenges,
2 limitations, and those exceptions previously
3 existed, and they will continue to exist in
4 multifamily buildings and in scenarios where
5 insulation has to taper at drains or other low
6 points. As long as you increase the insulation
7 requirement or the insulation installed at other
8 portions to net out an average of R-14, then
9 that's still in compliance with the requirements.

10 Okay. Fenestration Requirements. And
11 when I say follow the high-rise residential
12 language, I mean kind of the way that it's been
13 broken down. You know, there are prescriptive
14 alteration requirements for U-factories, solar
15 heating where applicable, or visible
16 transmittance. And we have a table for that.
17 Now alternatively, you know at the builder or
18 designer's discretion, they can go in and just
19 meet the newly constructed requirements and the
20 weighted average requirements and [indiscernible]
21 and call it a day.

22 The exception from the Multifamily
23 Section for replacements of up to 150 square feet
24 being only subject to U-factor requirements, is
25 being again, reproduced here and applicable to

1 all multifamily buildings. And that was
2 replacement, so you're going in the same size or
3 smaller for the hole in the wall that was there.
4 Alterations that add fenestration area, let's
5 see, maybe something bigger or punching a hole in
6 a wall, they have to meet the area limitations.
7 We talked about that earlier, 20% for the
8 condition floor area, or 40% window to wall
9 ratio, and U-factor, RSHGC, VT where applicable
10 as described in the table on the next page.

11 Now, there are a few exceptions. The 50
12 square foot threshold will get you out of that.
13 And for skylights, 16 square foot -- square feet
14 is the exception to allow a reduction down to a
15 maximum of 0.55, down to a less restrictive
16 maximum U-factor. It's probably the more
17 appropriate way. And so we gain coefficient
18 requirements.

19 For this one, this is what the table
20 looks like. It, as far as the breakdown, this
21 is -- for categories, this is similar to the
22 newly constructed requirements in that we have
23 curtainwall requirements, we have architectural
24 window requirements, we have all other window
25 requirements and then skylights. There's a

1 delineation between three stories or fewer and
2 four or more. And similarly to what we talked
3 about earlier, for a newly constructed low-rise
4 multifamily building requirements where there is
5 no solar heat gain coefficient requirements in
6 climate zones 1, 3, 5, and 16, that exception
7 still applies to this table or these
8 requirements. And you can't read it, but it's
9 the smallest footnote on this table. And
10 similarly, VT, the Visible Transmittance
11 Requirements are not applicable to multifamily
12 dwelling with three or fewer habitable stories.

13 Okay. Now we're going to get into HVAC
14 systems and there is a number of different ways
15 you can alter HVAC systems, right? You can
16 install a completely new system, or completely
17 replace an existing system, which is where we
18 are. And then you can alter components. So
19 let's talk about completely new systems here.

20 To completely replace systems, and we're
21 now under 2Ai, and in general, these follow
22 low-rise previous dwellings requirements. You
23 have to meet all the requirements specific to new
24 constructed except for that heat-pump fuel type
25 requirement. Again, the heat-pump specification

1 for newly constructed multifamily buildings, or
2 systems that serve those dwelling units, is not
3 applicable to this, nor is it applicable to
4 alterations.

5 Okay. Now for altered duct systems, like
6 Cheng said this morning, the activation threshold
7 was reduced to 25 feet of new a replacement space
8 conditioning ducts, and that was previously at
9 40. And consistently throughout the Multifamily
10 Chapter, anytime there was a high-rise
11 verification requirement that applied to low-rise
12 residential buildings, that will continue to only
13 apply to low-rise residential buildings. That's
14 the verification component only. In other words,
15 the test testing has to be done, but it'll be
16 self-certification by the installer for buildings
17 with three, with four or more habitable stories.

18 As far as duct installation requirements
19 are concerned. this mirrors the residential
20 single-family requirements that were discussed by
21 Cheng under the Alterations Section this morning.
22 Depending on your climate zone, it's either R-6
23 or R-8. And you'll see that it went from R-6 to
24 R-8 in the middle row there for those climate
25 zones.

1 Okay. So moving on from complete
2 replacements and from duct alterations, this
3 Roman numeral iii, or triple i. For altered
4 space conditioning systems is really talking
5 about when you replace the air handler. I think
6 that's right. I'm going to go check that. But
7 yeah, this is not a complete replacement. So
8 when you alter a space conditioning system, there
9 are leakage test requirements. And those leakage
10 tests are going to follow what previously existed
11 for low-rise residential. Again, the HERS
12 verification component of that is only applicable
13 to buildings with three or fewer habitable
14 stories.

15 Last one on the list here on the bottom
16 is the refrigerant charge verification
17 requirements are specific to mechanical cooling
18 systems. So when a refrigerant containing
19 components are altered, and since you have to
20 recharge the system, well let's make sure that
21 the system has the appropriate refrigerant
22 charge, because if it doesn't, you're going to
23 lose a lot of efficiency. And that's been in the
24 Energy Code for low-rise res for as long as I can
25 remember. But anyways, it's being expanded again

1 to high-rise multifamily buildings, but not the
2 HERS verification component. HERS verification
3 stays with low-rise multifamily only.

4 All right. This is very similar to what
5 Cheng described this morning, as far as the
6 prohibition of electric resistance heating,
7 though, I do want to point out that, you know, he
8 did receive a comment, or maybe he or Maziar,
9 about whether or not this prohibits the use of
10 electric resistance, kind of strips in heat-pump
11 space conditioning systems, and that's not the
12 intent. This is really speaking to electric
13 resistance heating systems, not heat-pumps with
14 that electric resistant component to kind of
15 satisfy the demand where they're not capable.

16 So with that said, the exceptions are the
17 same. It's not applicable to replacements of
18 non-ducted electric resistance systems, not
19 applicable to ducted electric resistance if
20 you're not touching the cooling system. And by
21 not touching, I probably should say not
22 replacing. And doesn't apply if you have an
23 electric resistance existing heating system in
24 climate zones 6, 7, or 8 through 15. And 15-day
25 language will be updated to match what's in the

1 single-family, or what will be in the
2 Single-Family Section. Again, we're really
3 trying to home in on how this is worded to make
4 sure that we're disallowing electrical resistance
5 space heating systems, prescriptively in
6 appropriate situations.

7 Okay. Moving on to Space Conditioning
8 Systems that Serve Common Use Areas for
9 Nonresidential. They, I'm sorry, they follow the
10 nonresidential alteration requirements and any
11 changes to that section, if there were, would
12 have been covered on Monday's hearing. But
13 essentially, these are, again, following the
14 nonresidential convention.

15 As far as water heating systems are
16 concerned, you know, we still have delineations
17 for systems serving individual dwelling units.
18 And this is where that begins. We've got
19 mandatory pipe insulation requirements in
20 160.4(f), which if you remember, after our first
21 break, we discussed the pipes that are greater
22 than one and a half inches -- one and a half
23 inches or greater in diameter have to now have
24 two inches of insulation versus 1.5 under the
25 2019 Energy Code. And similarly, if it is a

1 recirculation system, we want manual,
2 prescriptively, the requirement of the demand
3 recirc control manual and not automatic.

4 Continuing with water heating systems
5 altered to replace water heating systems that
6 serve individual dwellings units. These systems
7 have four different options here. The two in the
8 middle are both heat-pump options. One is a
9 little more efficient. And the second one that
10 you see, number two, doesn't meet that Tier 3
11 threshold, and that option would be required to
12 be placed on a rigid R-10 insulated surface. And
13 there's still an option for natural gas or
14 propane water heating systems. And in the event
15 that the existing water heating system was
16 electric resistance, then following that up with
17 or replacing that with a consumer electric water
18 heater is acceptable.

19 All right. Lighting. Alterations to
20 lighting systems within multifamily buildings if
21 it's in a dwelling unit, you follow residential
22 or the low-rise residential, which again is high
23 efficacy and generally some control requirements
24 depending on the space. And if it's common area
25 lighting, or sign lighting, or alterations to

1 electrical power distribution systems, they
2 follow the nonresidential requirements.

3 And lastly, the Prescriptive Approach for
4 ventilation requirements are really ventilation
5 requirements. Again, the intent for dwelling
6 unit ventilation systems is to match what the
7 single family requirements are for dwelling
8 units, so that will follow through.

9 That's the end of my slides. Payam, do
10 you have any questions or are there any questions
11 that we might need to address?

12 MR. BOZORGCHAMI: Thank you, Javier.
13 Folks, if you have any questions, please either
14 raise your hands and I'll unmute you or submit a
15 question in the Q&A.

16 MR. STRAIT: I don't see any questions
17 currently in the Q&A, but we can give people a
18 couple minutes.

19 MR. BOZORGCHAMI: Yeah. Let's give about
20 30 minutes. 30 minutes. 30 Seconds.

21 COMMISSIONER MCALLISTER: 30 minutes?

22 MR. BOZORGCHAMI: 30 seconds. Sorry
23 Commissioner. We
24 are -- we are ahead of schedule by three hours,
25 which is good. But I really, really want to

1 leave enough time to open up and you -- open it
2 up for comments and questions for what you've
3 heard all did today.

4 So I think -- I think we're -- Javier,
5 can you go to the next slide, please.

6 MR. PEREZ: Sure.

7 MR. BOZORGCHAMI: I think, Commissioner,
8 I think we need to open it up now for any
9 comments or questions regarding today's hearing.

10 COMMISSIONER MCALLISTER: Yeah. That
11 sounds right. You know, I do want to thank
12 everyone who did have questions. Laura in
13 particular, you brought up a lot of good issues.
14 And so just thanks for --

15 MR. BOZORGCHAMI: Yes.

16 COMMISSIONER MCALLISTER: -- thanks for
17 your diligence there and really drilling in to
18 make sure the details are right or at least, you
19 know, understood. So appreciate that. And
20 anybody else who wants to make either a specific
21 or a general comment, please go ahead. And if
22 your thoughts aren't sufficiently collected now,
23 there's always the written comment period. And
24 again, as Payam has said repeatedly, sooner is
25 better because, you know, now is the time. The

1 45-day language is relatively easy to change.
2 And the closer we get to the --- to the end of
3 the 45-day period, the less malleable things get.
4 So I just want to encourage people to to get on
5 that sooner rather than later.

6 MR. BOZORGCHAMI: Thank you,
7 Commissioner. We do have one raised hand.
8 Laura, I'm going to unmute you. Go ahead and
9 state your name and affiliation.

10 MS. PETRILLO-GROH: Hi. Good afternoon.
11 This is Laura Petrillo-Groh with the Air
12 Conditioning, Heating, and Refrigeration
13 Institute. AHRI represents more than 332
14 manufacturers of heating, ventilation and air
15 conditioning equipment, water heaters and
16 commercial refrigeration equipment. There's just
17 one last thing I wanted to flag today.

18 We have been reviewing possible federal
19 preemption issues related to proposed changes to
20 Single-Family, Multifamily, and Nonresidential
21 Sections regarding space heating, space cooling,
22 and water heating systems. These proposals have
23 removed actions for certain equipment with
24 federal energy efficiency standards to comply
25 with the Energy Code using the Prescriptive

1 pathway. It appears that these proposals CEC is
2 considering the prescriptive and performance
3 pathways to be separate. However, they are not
4 separable. The prescriptive path sets forth
5 specific requirements the HVAC systems and
6 equipment must meet in order to comply with the
7 Code if a building does not comply with the
8 performance based compliance path. As we
9 continually review of federal preemption issues,
10 we remind CEC that the concept of compliance to
11 Energy Codes through multiple pathways using
12 multiple -- using minimum efficiency equipment is
13 a fundamental aspect of [indiscernible]. If
14 proposal from 45-day language differs from the
15 proposal made in December of 2020 and the January
16 2021 presentation, so our review is ongoing.
17 AHRI will submit more detailed comments in
18 writing. Thank you.

19 MR. BOZORGCHAMI: Thank you, Laura.
20 Laura, can we have that submitted to our docket,
21 please? What you just read, please.

22 MS. PETRILLO-GROH: Absolutely.

23 MR. BOZORGCHAMI: Thank you so much.

24 MR. SHIRAKH: Yeah. Laura, again, this
25 is Maziar. I appreciate the comments and the

1 sooner we get those in writing, you know, will be
2 better for us to prepare an answer. So
3 appreciate the written comments to us as soon as
4 possible.

5 MR. BOZORGCHAMI: Thank you, Maziar.
6 Thank you, Laura. Peter, do we have any comments
7 in the Q&A, or questions in the Q&A?

8 MR. STRAIT: The -- Someone named Sarah
9 asks the R-49, I think that might have been typo
10 from R-19, but I'm not sure.

11 MR. BOZORGCHAMI: No. It's R-49.

12 MR. STRAIT: R-49 installation for the
13 attic, can it be rigid insulation?

14 MR. BOZORGCHAMI: Yes, it can. The
15 installation, the only requirement for the Energy
16 Commission is that the proper insulation be
17 installed based on what's certified with the
18 Bureau of Home Furnishings, Thermal Insulation,
19 the energy part of Consumer Affairs. Okay, in
20 California. But yeah, as long as it's done
21 properly and it's placed properly, and it meets
22 the Qii requirements, yes, it can be installed in
23 the attic, as a residential.

24 So I do have John McHugh, who raised his
25 hand. I'm going to unmute you John. Go ahead

1 and state your name and affiliation.

2 MR. MCHUGH: John McHugh speaking on
3 behalf of myself. I just wanted to go back to
4 the Table 150.0(a) and Table 160.5(a). One thing
5 that was brought up and I wanted to clear up
6 during the conversation was the change in
7 technology since the 2016 standards. And one of
8 the issues that was brought up was that back in
9 the -- during the 2016 Standards dim to warm and
10 colored tuning luminaires were rare at that point
11 in time. These are -- these are luminaire types
12 that are growing in the market. I wanted to
13 point out that because these have drivers is no
14 reason to expect that their flicker is low. And
15 in fact, the ANSIEEE [ph.] organized group, the
16 Next Generation Lighting Industry Alliance wrote
17 a white paper called Dim to White - Dim to Warm
18 white paper, they evaluated four luminaires. Two
19 of those luminaires were unable to pass the
20 Flicker Requirements in J8. So this is
21 somewhat -- this was written in 2019, so this is
22 somewhat indicative that the belief that a driver
23 technology results in low flickers is maybe not
24 correct.

25 Also new since the 2016 standards was the

1 adoption of NCIEEE, i triple e Standard 1789,
2 which actually for the first time, you know,
3 created a referenceable standard of what is low
4 Flicker operation. And we didn't know that back,
5 you know, it hadn't gone through the process.
6 The current California standard is three times
7 higher in terms of the modulation of light. And
8 so if anything, we should be more restrictive
9 than we were in 2016, now, now, now that there is
10 a referenceable standard. And there is a, ASHRAE
11 189.1 is actually using the J10 test method to
12 evaluate that. And that is going to be adopted
13 into the IGCC, the International Green
14 Constructions Code.

15 Finally, you know, it's pointed out the,
16 you know, that the test, the testing requirements
17 are onerous. But instead of throwing out the
18 baby with the bathwater, I'm somewhat encouraged
19 to see, you know it's hard to tell, right, from a
20 you know, a very high overview slide what the
21 25th, with the 15-day changes might be. But
22 actually looking at the Lumen Maintenance Test,
23 which requires a 3,000 hour test, that's
24 probably, you know, the 80-20 rule in terms of
25 reducing regulatory burden on manufacturers for

1 the -- for the inseparable lighting fixtures, and
2 I think would be widely appreciated by the
3 industry.

4 For lamps I think, you know, the
5 Commission needs to think about, for lamps and
6 LED light engines, the commission might want to
7 consider, you know, should we -- should we be
8 remaining to align with the Energy Star
9 requirements for these two light sources? They do
10 still require a lumen maintenance requirement,
11 and it would probably be worthwhile to talk with
12 Energy Star to see what their thoughts are about
13 the value of that part of their standard. Thank
14 you very much.

15 MR. BOZORGCHAMI: Thank you, John.

16 MR. STRAIT: I think just to quickly
17 clarify some of the comments that I made earlier.
18 The comment was not to indicate that we think
19 there is 0 issue with flicker and in those, in
20 the categories lighting of dim to warm, or color
21 shifting, but more to indicate that those
22 products necessarily need a more advanced driver.
23 Flicker behavior is driven by the driver that is
24 supplying power to the LED. And in order to
25 provide those functions where you have this

1 dimming between two or three different color
2 modules, and typically if you're using, for
3 example, pulse with modulation, you have to have
4 a driver that that's operating at a pretty high,
5 you know, Hertz, pretty high speed. So it would
6 be less likely for such a driver to fall into
7 that red zone that we're trying to block off of
8 impact because we're trying to identify for these
9 devices. But it's not that the product wouldn't
10 be designed that way. It's if were we to
11 evaluate that product today, what would be the
12 likelihood of discovering that that there was
13 enough of a problem in the marketplace to require
14 a -- the government to intervene, basically.

15 Just, so to clarify that, it's not to say
16 that that problem doesn't exist, it's that these
17 products ultimately were not evaluated when the
18 Standard was adopted. It's not clear to staff
19 whether it is necessary that this Standard be
20 applied to these products. But given the
21 Standard has been applied to this -- these
22 products to this point, we're internally
23 considering how we might retain JA-10
24 requirements for those products and maybe make
25 modifications to other JA8 requirements.

1 So that's what we're saying, is that
2 Staff are still going to be considering these
3 comments. We find that it's likely that we
4 should retain the Flicker for at least the time
5 being, the current Code cycle. And that we would
6 also agree that if we receive industry comment
7 about the relative burden of the different
8 testing that JA8 requires, including JA10, that
9 would be valuable information to us, because
10 certainly the, you know, lifespan of these
11 products, we adopted that Standard back when
12 these products were far more expensive and far
13 less proven and still had a lot of issues. For
14 example, with heat. Nowadays, if a LED lamp
15 fails, a replacement LED lamp is relatively
16 inexpensive. And for these installed integrated
17 luminaires, we're seeing that it's hard to find a
18 product that won't last well in excess of the
19 minimum standard that we borrowed from the Energy
20 Star. So yeah, in terms that balance point
21 between burden and cost to the manufacturer that
22 gets passed on to the consumer, and that consumer
23 protection to ensure that the consumers are
24 getting products that will reliably perform,
25 especially if the products are installed in the

1 house before they arrive. We're interested in
2 continuing that conversation and trying to find
3 the right balance point there.

4 MR. MCHUGH: That's outstanding. I
5 appreciate how responsive the Commission staff
6 is, and I'd recommend that it's that potentially
7 some of the data to make this evaluation actually
8 already exist in the MADAD's [ph.] database and
9 would recommend to take a look at the dim to warm
10 products that are already in the -- in the
11 database and what their performance is. Thank
12 you so much.

13 MR. BOZORGCHAMI: Thank you, John. Thank
14 you, Peter for the response. Any other? Any
15 other raised hands? Questions? Answers.

16 So if not, Commissioner, are you okay
17 with adjourning today's session?

18 COMMISSIONER MCALLISTER: I am. As long
19 as everyone has been heard and we've had the back
20 and forth it's appropriate to have today. I
21 think we are ready to wrap up and just to
22 reiterate for more detailed comments and to
23 expand on anything that was said today with a
24 little more ability of time to put it down
25 properly on paper. Please do that and submit it

1 to the comments as soon as possible.

2 MR. BOZORGCHAMI: Yes.

3 COMMISSIONER MCALLISTER: I really
4 appreciate everyone's attention. Good attention.
5 Good turnout, both Monday and today. And we'll
6 hope for the same tomorrow when we pick it up and
7 do our final day of hearings on the Express
8 Terms. So thanks to everybody, and back to you
9 for any final logistics and to close it out,
10 Payam.

11 MR. BOZORGCHAMI: Thank you, sir. So,
12 again, I'll reiterate what Commissioner
13 McAllister had said. Please, please, please by
14 either next week or the week after, please submit
15 your comments. We really, really value your
16 input. And we really want to do the right job
17 and get the right message out in our next Set of
18 Standards or Energy Codes. So I thank you and I
19 hope you have a nice rest of the day. The
20 session has adjourned.

21 **(Session adjourned at 2:13 p.m.)**

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of July, 2021.




MARTHA L. NELSON, CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of July, 2021.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852