

DOCKETED

Docket Number:	21-IEPR-05
Project Title:	Natural Gas Outlook and Assessments
TN #:	239968
Document Title:	Transcript - 7-28-21 for Commissioner Workshop on Hydrogen to Support California's Clean Energy Transition - Session 1
Description:	Session 1 - IEPR Commissioner Workshop on Hydrogen to Support California's Clean Energy Transition - International and National Applications
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/4/2021 3:08:41 PM
Docketed Date:	10/4/2021

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,) Docket No.21-IEPR-05
)
2021 Integrated Energy Policy)
Report (2021 IEPR)) Re: Hydrogen in
) California's Clean
) Energy Transition

IEPR COMMISSIONER WORKSHOP ON
HYDROGEN TO SUPPORT CALIFORNIA'S
CLEAN ENERGY TRANSITION

REMOTE ACCESS ONLY

FRIDAY, JULY 28, 2021

10:00 A.M.

Session 1: International and National Applications

Reported By:
Elise Hicks

APPEARANCES

Workshop Leadership

J. Andrew McAllister, 2021 IEPR Lead Commissioner

Karen Douglas, Commissioner

Patty Monahan, Commissioner

Matt Baker, Deputy Secretary for Energy, CNRA

Darcie Houck, Commissioner, California Public Utilities Commission

Staff Present

Heather Raitt, Program Manager, IEPR

Le-Quyen Nguyen, Advisor to Commissioner Gunda

Kourtney Vaccaro, Advisor to Commissioner Douglas

Denise Costa

Stephanie Bailey

Raquel Kravitz

Kristy Chew

Mike Petouhoff

Gabriel Taylor

Bryan Early

Ken Rider

Roberta Rothschild

Theju Prasad

Ellie Long

Jennifer Campagna

APPEARANCES (CONT.)

Staff (Cont.)

Raj Singh

Giana Villegas

David Gay

Public Advisor's Office

Noemi Gallardo

RoseMary Avalos

Dorothy Murimi

Panelists

Nick Damgaard Jensen, Center for Global Cooperation

Dr. Sunita Satyalpal, U.S. Department of Energy

Ulrich Benterbusch, German Federal Ministry for Economic Affairs and Energy (BMWi)

Paul Schultz, Los Angeles Department of Water and Power

Joel Ledesma, Northern California Power Agency

Arne Jacobson, Schatz Energy Research Center

Public Speakers

Yuri Freedman

Bruce Webster

William Zobel

David Blekhman

V John White

David Park

INDEX

	Page
Introduction - Heather Raitt	5
Opening Remarks	
J. Andrew McAllister, 2021 IEPR Lead Commissioner, CEC	6
Karen Douglas, Commissioner, CEC	11
Patty Monahan, Commissioner, CEC	14
Siva Gunda, Commissioner, CEC (By Le-Quyen Nguyen)	20
Matt Baker, Deputy Secretary for Energy, CNRA	17
Darcie Houck, Commissioner, California Public Utilities Commission	16
1. Panel: National and International Application	
Moderator: Mike Petouhoff, CEC	22
A. Nick Damgaard Jensen, Center for Global Cooperation	94
B. Sunita Satyalpal, U.S. Department of Energy	38
C. Ulrich Benterbusch, German Federal Ministry for Economic Affairs and Energy (BMWi)	54
D. Paul Schultz, Los Angeles Department of Water and Power	71
E. Joel Ledesma, Northern California Power Agency	78
F. Arne Jacobson, Schatz Energy Research Center	87
Discussion	102
Zoom Q&A - Moderated by Jennifer Campagna	109
Public Comments	112
Adjournment	123
Reporter's Certificate	124
Transcriber's Certificate	125

P R O C E E D I N G S

1
2 JULY 28, 2021 10:00 A.M.

3 MS. RAITT: All right. Well, good morning
4 everybody and welcome to today's 2021 IEPR Commissioner
5 Workshop on Hydrogen to Support California's Clean
6 Energy Transition.

7 I'm Heather Raitt, the Program Manager for the
8 Integrated Energy Policy Report, which we refer to as
9 the IEPR for short.

10 This workshop is being held remotely, consistent
11 with Executive Order N-08-21, to continue to help
12 California respond to, recover from, and mitigate the
13 impacts of the COVID-19 pandemic. Public can
14 participate in the workshop consistent with the
15 direction in the executive order.

16 This workshop has a morning and an afternoon
17 session, with separate logins for each. To follow
18 along, the schedule and slide decks have been docketed
19 and posted on the CEC's website.

20 All IEPR workshops are recorded and the
21 recording will be linked to the CEC's website shortly
22 following today. And a written transcript will be
23 available in about a month.

24 Attendees have the opportunity to participate in
25 a few different ways. For those joining through the

1 online Zoom platform, the Q&A feature is available for
2 you to submit questions. You may also up vote a
3 question submitted by someone else. Just click the
4 thumbs up icon to up vote. Questions with the most up
5 votes are moved to the top of the queue.

6 We'll reserve a few minutes near the end of the
7 morning to take questions, but likely will not have time
8 to address all the questions submitted.

9 Alternatively, attendees may make comments
10 during the public comment period at the end of the
11 morning and at the end of the afternoon sessions.
12 Please note that we will not be responding to questions
13 during that public comment period.

14 Written comments are also welcome and
15 instructions for doing so are in the workshop notice.
16 Written comments are due on August 11th.

17 And with that, I'll turn it over to Commissioner
18 Andrew McAllister to start opening remarks. Thank you,
19 Commissioner.

20 COMMISSIONER MCALLISTER: Thank you very much,
21 Heather. And thanks, first, to all of our attendees. I
22 see more than 150 people on and growing, so that is
23 fantastic. I think that's reflective of the interest
24 that we have in hydrogen at this particular moment.

25 I won't speak for too long here, but first I

1 want to acknowledge some colleagues who are on the
2 virtual dais with me. I am Andrew McAllister, leading
3 this year's Integrated Energy Policy Report. And lots
4 of different themes that we're engaging with in that
5 effort this year on reliability, looking at transition
6 of the gas system which this conversation is largely
7 part of that track. And then, also on decarbonization
8 of buildings. And then, finally, our biennial
9 forecasting effort which covers all the sectors of our
10 energy economy.

11 So, that's obviously a core responsibility of
12 the Energy Commission and really key for the overall
13 planning across all the energy agencies in the state.

14 So, the IEPR really is a key platform for the
15 critical discussions of the day. And we're really
16 gratified to have various colleagues here on the dais
17 and I will just thank them. Hopefully, I'm not leaving
18 anyone out. Sometimes with the Zoom it's hard to kind
19 of see it all at once.

20 But here at the Commission I want to thank
21 Commissioner Douglas, particularly, for her leadership
22 in this area on hydrogen. And I think she will be
23 driving much of the conversation today.

24 Also, Commissioner Patty Monahan who is our lead
25 on transportation and, obviously, hydrogen is relevant

1 there.

2 Commissioner Gunda would normally be here, but
3 was called away to a meeting and his advisor, Le-Quyen
4 Nguyen, will be taking some comments on his behalf.

5 From the Public Utilities Commission we have
6 Commissioner Darcie Houck. So, thank you very much
7 Darcie for being here -- Commissioner Houck for being
8 with us. Really appreciate it. I think that's all from
9 the PUC.

10 And then we also have, from Resources Agency,
11 our really great colleague Matt Baker. So, Matt thanks
12 for being with us as well. So, I really appreciate
13 that.

14

15 I won't do a laundry list of all the things
16 we're doing on hydrogen, but just suffice it to say
17 there is a ton of activity across both the Energy
18 Commission -- well, really, the Energy Commission, the
19 PUC, and the ARB on hydrogen and looking at it through
20 various lenses.

21 We are funding a lot of R&D from the Energy
22 Commission, so we have a long list of projects there.
23 And let's see, so I want to just acknowledge the fact
24 that Laurie ten Hope and her team have been working on
25 this issue and just have a lot of innovation both on,

1 sort of on the retail end of the spectrum all the way up
2 to various aspects on the supply side, as well.

3 Obviously, we have a lot of activity on the
4 offshore wind and there's a linkage of that with
5 hydrogen and so, Commissioner Douglas is certainly
6 leading that in a big, big way and will I'm sure comment
7 on that aspect.

8 But generally speaking, you know, hydrogen has a
9 little bit of a checkered history. I think we, you
10 know, have to sort of look back. It's a very small --
11 it's the smallest molecule and it can be challenging to
12 manage and so that has been an impediment in the past.
13 And I think sort of the shift in the conversation is
14 coming from the fact that we're getting some
15 demonstrations and some examples of successful
16 transition into using hydrogen as kind of across
17 sectoral linkage. You know, energy storage, a
18 transportation mechanism, you know, that's usable in
19 various sectors. And so, from power sector over to
20 transportation, even sort of at the retail end use
21 potentially, and industrial thermal applications.

22 And so, we're investigating all of those aspects
23 of the hydrogen economy and we're really trying to
24 connect the dots and figure out where to optimize, how
25 to optimize any investments in infrastructure related to

1 hydrogen.

2 There's a conversation across the whole Western
3 U.S. Really, there's a global conversation. We're
4 looking very hard at Europe and what they are doing
5 there. They're a little bit ahead of us, honestly, in
6 the hydrogen, sort of the big infrastructure hydrogen
7 conversation. And so, we have some good collaborations
8 going on with our European friends, largely Northern
9 Europe.

10 And then, there's a huge project in the Middle
11 East to generate large quantities of hydrogen to put on
12 ships that ship around the world. So, it's a global
13 conversation.

14 We also have here in California, and across the
15 West, we have a lot of collaboration and I think a good
16 conversation that started around the Western Green
17 Hydrogen Initiative. So, various western states, you
18 know, Montana, and Idaho, and Utah, and Colorado, and
19 California really are trying to think about how to link
20 up the various initiatives across the west. And in
21 particular, Utah and California have an interesting
22 project that's driven by LADWP, in the L.A. Region to,
23 you know, convert the Intermountain Power Project
24 specifically, but also have a broader conversation
25 revolving around Los Angeles in the (indiscernible) L.A.

1 So, these are real initiatives with, you know,
2 heavy-hitting partners and a lot of kind of inertia
3 behind that. So, that's a lot of forward momentum. So,
4 that's all very positive and I think this workshop will
5 highlight much of that. And we have some really great
6 speakers and I've really been looking forward to today.

7 You know, which dots we connect and how we
8 connect them is an ongoing conversation and this
9 workshop today will, hopefully, help us elucidate some
10 of the directions that are most promising here in
11 California.

12 So, really excited about today and I'll leave it
13 at that and pass the microphone to my colleague,
14 Commissioner Karen Douglas. Commissioner Douglas.

15 COMMISSIONER DOUGLAS: All right, thank you so
16 much Commissioner McAllister, and thank you for your
17 leadership on the IEPR this year, and also your deep
18 engagement across the spectrum of issues on hydrogen.

19 This is a topic that has quite a lot of cross-
20 cutting interest from different parts of the Energy
21 Commission. This is, you know, an opportunity that can
22 be brought to bear on our power generation side, as well
23 as it can be related to offshore wind. It has a very
24 strong transportation element, industrial element. And
25 so, there's a lot of interest in this topic.

1 And so, I am engaging in this as our point for
2 pulling together this workshop and topic to contribute
3 to the IEPR, and just really appreciate the engagement
4 of my colleagues here from the Energy Commission, the
5 CPUC, and Natural Resources Agency. As well as the
6 great speakers that we're going to have today.

7 So, as Commissioner McAllister noted, the Energy
8 Commission is committed to bringing forward and really
9 evaluating a suite of policies that can help the state
10 achieve its greenhouse gas reduction goals and stay on a
11 path to achieving SB 100 goals.

12 And as we look at different options and
13 alternatives for the state to transition to a
14 decarbonized electricity system by 2045, hydrogen has
15 emerged as an important element that we need to assess
16 and understand as we unpack and assess different
17 pathways that get us to our goals.

18 Again, as Commissioner McAllister noted as well,
19 as we look specifically at the outlook for natural gas
20 look in the coming years, this is another place where
21 it's really important that we consider and explore the
22 possible role of hydrogen as one of a number of
23 alternatives that could help replace and/or complement
24 the use of fossil gas.

25 So, this exploration, which also includes

1 understanding how we can better gain efficiencies and
2 economies in the use, the generation, storage and
3 conversion of green hydrogen to provide long-duration
4 storage is another important element of our transition.
5 And making -- taking full advantage of the renewable
6 power generation that California is very well situated
7 to produce.

8 So, we're really fortunate today to have an
9 array of distinguished panelists to discuss both
10 national and international applications of hydrogen, as
11 well as current and emerging technologies.

12 The morning session will include a panel of
13 international and national representatives talking about
14 initiatives that develop and deploy hydrogen
15 technologies to support our clean energy future today.

16 The industry, we will also hear from industry
17 and research institutions advancing and implementing
18 hydrogen technologies.

19 In the afternoon session we'll hear from a panel
20 of technology developers that will discuss current and
21 emerging technologies in hydrogen generation, storage
22 and transmission.

23 And finally, as we'll hear shortly from Mike
24 Petouhoff of the Energy Commission's Research and
25 Development Division, we're continuously -- we are

1 providing research funding in this area to continue to
2 demonstrate approaches to generating green hydrogen,
3 support development of new electrolyzer technologies,
4 expand the uses of hydrogen, expand the opportunities to
5 generate green hydrogen to support transportation and
6 other sectors, and decarbonization in those sectors and
7 more.

8 So, I'll close my opening remarks by thanking
9 all of the staff who worked very hard to pull together
10 this workshop. David Erne, Mike Petouhoff, Heather
11 Raitt, Stephanie Bailey, Raquel Kravitz, my advisors.
12 And I want to thank all of the workshop participants.
13 I'm looking forward to the presentations, and the public
14 comment, and I will be as engaged as I possibly can be
15 today.

16 I do want to note that I have one or two
17 conflicts that will cause me to step out and in one case
18 return a little late, potentially, for the afternoon
19 session. But that just happens sometimes that we get
20 double booked. But I will be in as much as I possibly
21 can. And at this point -- and when I am out, my
22 Advisor, Kourtney Vaccaro, will be here on my behalf.

23 So, at this point I'd like to hand this over to
24 Commissioner Monahan for her opening remarks.

25 COMMISSIONER MONAHAN: Thanks Commissioner

1 Douglas. Well, I'm really excited for this day. And I
2 think, you know, it's been clear California has been a
3 leader on hydrogen for transportation for decades.
4 Decades. And, you know, Japan, South Korea, they're our
5 partners in this.

6 But what I'm really excited about is this more
7 expansive conversation that we're moving to. So, for a
8 long time I think our focus was just light-duty
9 vehicles. Now, we're looking at the opportunity in
10 medium- and heavy-duty vehicles where we also get
11 important reductions in criteria pollutants and beyond.
12 So, rail, marine applications, air applications, these
13 are all places where hydrogen can have an important role
14 to play.

15 I was really interested in the recent report
16 that came out from Bloomberg New Energy Finance, their
17 new Energy Outlook 2021 Report. And when they looked at
18 what we'll need to reach a fully decarbonized or, you
19 know, reach our carbon targets for 2050, hydrogen played
20 a really important role in most of their scenarios.

21 And interesting, the biggest application was
22 power, the second industry, third aviation. So, I mean
23 we're learning more and more about what role hydrogen
24 can play and how especially for harder to decarbonize
25 sectors hydrogen can play an important role in helping

1 us reach our goals.

2 So, just really appreciate this conversation and
3 appreciate the fact that Matt Baker and Commissioner
4 Houck are joining us here on the dais today for this
5 conversation.

6 I, like Commissioner Douglas, am going to have
7 to leave, come in and out. I have a conference at 11:00
8 and a conference in the early afternoon, as well. But
9 I'll be here as much as I can.

10 Just want to thank the leadership of, you know,
11 my fellow Commissioners in pulling together this
12 conversation on hydrogen and look forward to the day.

13 So, I'll pass this off to Commissioner Houck, if
14 you would like to make any comments for today.

15 COMMISSIONER HOUCK: Thank you, Commissioner
16 Monahan. I wanted to thank Commissioner McAllister for
17 his leadership on the 2021 IEPR and all of the CEC
18 Commissioners for their leadership in the area of
19 examining how hydrogen can play an important role in our
20 clean energy transition.

21 Recently, the CPUC had a briefing from Laurie
22 ten Hope's group at our committee meetings and it was a
23 great presentation. And I'm really excited about all of
24 the work that the Energy Commission is doing in this
25 area. I think it has a huge potential to move us

1 forward with our SB 100 goals.

2 I want to again thank the Energy Commission, the
3 Commissioners and all of the staff for the work that
4 they're doing. I'm looking forward to following the
5 results of the work that Laurie's group is doing. And
6 want to thank the participants here today. And I'm very
7 excited about listening and learning more as we move
8 through today and seeing how the advances that are being
9 made in regards to hydrogen can be implemented in our
10 clean energy policy going forward.

11 So thank you for having me here today and I'll
12 conclude my remarks.

13 COMMISSIONER MCALLISTER: Great. I want to pass
14 the microphone to Matthew Baker from Resources Agency.
15 Mr. Baker.

16 DEPUTY SECRETARY BAKER: Yes, thank you,
17 Commissioner. I want to thank all the Commissioners and
18 staff for pulling this together. I think this is a
19 super important issue that you're working on.

20 My name's Matt Baker. I'm from the California
21 Natural Resources Agency. We oversee and support more
22 than 26 departments, conservancies, commissions,
23 including the Energy Commission.

24 I'll just quickly echo what everyone else has
25 said. You know, basically, as we're making this

1 transition it seems apparent that we're -- in addition
2 to clean electricity, we're going to need clean
3 molecules. And hydrogen is probably the most likely
4 candidate to fill that role.

5 And what we're looking at, what we're looking
6 for at the agency is really, you know, what could be a
7 no regrets pathway that can get us to the point where we
8 need to be as we transition to carbon neutrality.

9 And we're really excited about this workshop and
10 the continuing work that the Commission's doing to
11 really kind of try to ascertain kind of a no regrets
12 role for hydrogen and industry, or hydrogen and power,
13 and fuel, and retail, and natural gas. You know, what
14 are the things that we could be doing right now, such as
15 what the Germans have been doing, you know, to create
16 the infrastructure that these no regrets.

17 And I think one of the things at the agency that
18 we're also very interested in is where can we achieve
19 co-benefits as we're building this infrastructure. So,
20 how can the production of hydrogen increase the air
21 quality or reduce criteria pollution in disadvantaged
22 communities.

23 What role can hydrogen production play in
24 mitigating, you know, the hundreds of thousands of giant
25 piles of wood that we're going to have to burn in the

1 forest if we don't find another use for that.

2 The same with agriculture. Is there a role for
3 hydrogen production, you know, to mitigate methane
4 emissions with regards to municipal solid waste.

5 And finally, are there opportunities to also
6 help bring jobs and economic development to struggling
7 communities throughout California.

8 So, you know, with that I'm really looking
9 forward to this. You know, with a few exceptions, I'll
10 be here for almost the entire program. And I want to
11 really thank you for inviting me here today.

12 COMMISSIONER MCALLISTER: Thank you, Matt,
13 really appreciate it.

14 And one final just observation. You know,
15 there's a remarkably large existing hydrogen economy,
16 right, already that's largely an adjunct to the oil and
17 gas industry. And part of the big, sort of the
18 generational issue here is how do we pivot that
19 infrastructure to decarbonize, you know, completely.
20 And then how much sort of how do we complement that with
21 near term investments and infrastructure. And I think
22 the economic development and the jobs piece of that is a
23 really critical one as is the impact on disadvantaged
24 communities that Mr. Baker pointed out.

25 So, you know, we're at point A and it's got

1 particular characteristics. And this is, in some ways,
2 a traditional big infrastructure kind of question and
3 that is really key to the economic piece of this. So, I
4 just wanted to point that out.

5 So, back to you, Heather, to get us started.

6 MS. RAITT: Sure. Le-Quyen, did you want to
7 make some comments?

8 COMMISSIONER MCALLISTER: Oh, I'm sorry. I'm
9 sorry, I totally neglected to invite Le-Quyen Nguyen,
10 from Commissioner Gunda's office, to give comments. Go
11 ahead, Le-Quyen, sorry about that.

12 MS. NGUYEN: Oh, no worries. Thank you,
13 Commissioner McAllister. So, Commissioner Gunda does
14 send his regrets that he's not able to make today's
15 workshop. And he just had a few brief comments that he
16 asked I share on his behalf.

17 So, I think it's clear to all of us that we're
18 facing the increasing impact of climate change and we
19 need to move quickly to achieve our climate and energy
20 goals. California has a goal of achieving carbon
21 neutrality by 2045 and electrification has emerged as a
22 key strategy.

23 Looking at sectors across the economy, there are
24 a number of places where hydrogen could play a roll.
25 The SB 100 report, published earlier this year, showed

1 that we'll need to accelerate our resource builds and
2 also utilize a variety of resources. We also need to
3 consider the diversity of the need and the importance of
4 zero carbon firm dispatchable generation.

5 In the transportation space there has already
6 been a lot of conversation around hydrogen and I think
7 it's important to understand how hydrogen could be used
8 in other sectors and try and create an integrated
9 approach.

10 I look forward to watching the workshop
11 recording later on and learning more about the work
12 going on.

13 Thank you to Commissioner Douglas, Heather,
14 David and teams for your leadership and efforts in
15 putting this workshop together. And, of course, thank
16 you Commissioner McAllister for your leadership on the
17 overall IEPR effort.

18 Thank you.

19 COMMISSIONER MCALLISTER: Thank you, Le-Quyen.
20 Now, I think that should wrap us up from the dais and
21 back to you, Heather. Thank you.

22 Heather, you might be muted.

23 MS. RAITT: Oh, goodness. Thank you.

24 So, we'll start our panel this morning. It's
25 moderated by Mike Petouhoff. And Mike is the Manager of

1 the CEC's Energy Systems Research Office, in the Energy
2 Research and Development Division. There he manages a
3 team focused on topics including energy storage, grid
4 reliability, and the hydrogen roadmap.

5 Mike comes to the Energy Commission with a
6 wealth of experience, including founding the Global
7 Energy Team at Apple, Inc., where he led Apple's efforts
8 to achieve 100 percent renewable energy for its
9 operations in the U.S.

10 So, with that I'll hand it off to you, Mike. Go
11 ahead.

12 MR. PETOUHOFF: Thank you, Heather. And good
13 morning to everybody. I'm really excited to hear from
14 our panelists today. We've got a really exciting set of
15 speakers and this is a very fast-moving field, so the
16 information will be really, really helpful to us.

17 I think it was mentioned earlier we have a panel
18 that moves from international to national, and then kind
19 of to a local California level. Time wise, we may go a
20 little out of order because we have some speaker time
21 constraints. And I might mention that because of the
22 time constraints for our second and third speaker we may
23 go to the dais for questions, and then come back at the
24 end of the last speaker for questions as well.

25 I'll begin by providing a brief presentation

1 that talks a little bit about the project we have called
2 the Role of Green Hydrogen in the Decarbonized
3 California: A Roadmap and Strategic Plan, as a way of
4 bridging over to our EPIC program and also providing
5 introduction for the hydrogen topic.

6 The next slide, please. So, we're going to,
7 today, have another milestone in what's been an ongoing
8 process of staff collaboration in prior CEC research,
9 and also information sharing with Denmark, Germany and
10 Finland. We've also had lots of in-state collaboration
11 and we'll hear from some of those folks as well today.
12 And we had an EPIC workshop 1 July, and today we have
13 the IEPR workshop the 28th of July.

14 As we build on that framework, what we're really
15 doing with this roadmap is trying to bridge three areas.
16 We're looking at how to generate hydrogen through
17 electrolysis and other means. We're looking at some
18 priority end uses of hydrogen. And then, in between how
19 to bridge those in time and space with storage and
20 distribution technologies.

21 And in that we're going to be looking at
22 ecosystems. In many ways we're going to be building
23 systems from scratch, even though there's a lot of
24 hydrogen industry we can borrow from. And we're going
25 to be looking at what those ecosystems look like and how

1 we can build them together.

2 The next slide, please. So first, starting on
3 generation, we're going to be looking at various
4 technologies for electrolysis, starting from the most
5 mature to the more nascent. Alkaline and proton-
6 exchange membranes are some of the more established.
7 We'll also be looking at solid oxide and photon-based
8 electrolysis.

9 Because offshore wind is important and
10 electrolysis does consume water, we'll be looking at the
11 special issues that may come into play as we look at
12 saltwater electrolysis.

13 We're also currently having -- conducting
14 research about non-water electrolytes. Generally, we're
15 breaking H₂O into H₂NO₂, but we can also use other
16 electrolytes that may be more efficient and we're
17 evaluating that as well. So, that's kind of the picture
18 of generation.

19 The next slide, please. We're also looking at
20 storage and distribution to connect those. As
21 Commissioner McAllister mentioned, we do have a fairly
22 mature industry from petroleum and other industries that
23 are dealing with some aspects of hydrogen, and so we
24 have some technology we can make use of there.
25 Including gaseous storage and tanks, tube trucks,

1 pipelines, and geologic storage.

2 I should mention on pipelines, there's a lot of
3 discussion on our transition of the natural gas system.
4 We really divide that into pipelines that are purpose-
5 built for hydrogen and the potential to put hydrogen in
6 limited percentages into the pipelines built for natural
7 gas. And we'll talk about the limitations there, about
8 7 percent by weight, and what implications that has for
9 us.

10 Also important is converting hydrogen to other
11 forms for efficient transition and use. This is
12 important. As was mentioned previously, hydrogen's the
13 lightest of the atoms, up in the upper left of the
14 Periodic Table. And so, as it's move through
15 transmission lines it actually has less energy-carrying
16 capacity than let's say methane, but that can be
17 increased by either converting to liquid forms or other
18 forms of hydrogen that can be useful for other means.

19 For example, if we take hydrogen and combine it
20 with the nitrogen in air we can get ammonia, which is
21 especially useful in some applications, especially
22 marine shipping, and potentially a future in the
23 aviation. And green CH₄, which is the essentially the
24 same molecule we get from fossil-sourced natural gas,
25 but it comes from a decarbonized source. That can

1 actually be produced from green hydrogen. And that
2 would have the benefit of being able to be used more
3 ubiquitously in the natural gas pipeline system.

4 We're also looking at different kinds of
5 ecosystems. For example, how would hydrogen look with
6 land-based PV? How would hydrogen look with offshore
7 wind? How does it look in an ecosystem for
8 transportation? So, in each of those cases we're trying
9 to look at the overall ecosystem and see how that looks.

10 And in this process we're looking at priority
11 end uses. The next slide, please. Which include firm
12 dispatchable generation. The SB 100 report talked about
13 the need for increasing amounts of either long-duration
14 storage or firm dispatchable generation. As we move to
15 greater amounts of intermittent wind and solar, we can't
16 control when the wind blows and the sun shines, but we
17 can firm and shape those resources with this type of
18 resource.

19 Hydrogen is one of the candidates that can
20 provide this option and we're going to be looking at
21 that very carefully.

22 The general area of transportation is something
23 we're going to also look at. Specifically, fuel cell
24 vehicles, but also potentially for ocean transportation
25 using ammonia and other forms of hydrogen such as that.

1 And then we're also looking at, on the end use
2 side, an industrial application. In general we're
3 moving towards new codes going to electric, but there
4 are some hard-to-electrify applications that hydrogen
5 may be one of the candidates to provide the heat source
6 for those hard-to-electrify high heat industrial
7 applications.

8 Those are just three examples of the priority
9 end uses. And one of our goals is to figure out
10 ecosystems that support those end uses and the hydrogen
11 budget. How much hydrogen will we need for each of
12 those because, ultimately, they'll be competing on the
13 same supply curve for the same amount of hydrogen that
14 we can produce. So, we want to get a picture of what
15 that looks like.

16 The next slide, please. In the approach we're
17 taking with hydrogen roadmap we're looking at, oh, how
18 far down the road can our headlights see. We know some
19 information, some information is very informative, and
20 we're going to produce our roadmap with that
21 information. But then we're also going to have follow-
22 on research and demonstration projects and expect
23 industry will evolve, and we'll update the roadmap every
24 few years, probably in sync with the IEPR reports to
25 reflect progress over time. Until we all get to the day

1 when California is 100 percent decarbonized, we'll
2 update it and iterate over time. So, we're taking the
3 model of how far can our headlights see down the road.
4 Get a good picture of what the technology looks like and
5 then update over time.

6 The next slide, please. As was mentioned
7 previously, there is actually a pretty large industrial
8 use of hydrogen now, mostly in the petroleum industry.
9 Most hydrogen in use in the world today is gray
10 hydrogen, which is not decarbonized, but made from
11 fossil fuel feedstocks.

12 There's also blue hydrogen which is made from
13 fossil fuel feedstocks, but then the carbon is
14 sequestered.

15 Our focus is really on green hydrogen, which is
16 either electrolytic hydrogen which is made from
17 electrolysis of clean energy, wind, or solar, or other
18 sources of renewable energy, or it can be made from
19 reforming of decarbonized biogas or other feedstocks.

20 So, that's going to be our focus. We're really,
21 in many ways, trying to borrow from what's been
22 developed over time for other industrial uses to our
23 green hydrogen use that we want to put together.

24 The next slide, please. One of the key drivers
25 is hydrogen for grid reliability. The SB 100 report

1 showed that we have need up to 15 gigawatts of firm
2 dispatchable storage and there's tradeoffs with long-
3 duration storage, and other technologies that are
4 developing in parallel.

5 The modeling also looked at the core option of
6 complying with SB 100, but also a study option that was
7 more aspirational of having no combustion. And we see
8 there's a cost difference of \$8 billion a year. And
9 hydrogen is in the midst of this because we may have
10 combustion and noncombustion options within hydrogen.

11 And also we know that hydrogen, as we look the
12 next generation may have less land use impact than other
13 forms of generation, so that's a key factor for
14 consideration.

15 The next slide, please. One of the questions
16 that comes up is if we have perfectly good electricity
17 from wind and solar why would we store -- or, why would
18 we turn it to hydrogen. And one of the answers is to be
19 able to store it.

20 This chart shows, really if you look at the red,
21 you see lithium ion which is a predominant form of
22 energy storage for short-term storage. What we see is
23 as it gets longer term it becomes more expensive.

24 But as we look at the green curve or the yellow
25 curve if we're looking at ammonia, the costs really

1 level out and it becomes more competitive, cost
2 competitive in the long term. One way I like to think
3 about this is if you have a one-megawatt battery, at the
4 end of an hour of megawatt discharge it's discharged by
5 the one-megawatt turbine. It runs for an hour, at the
6 end of an hour it just keeps running.

7 And in similar ways, if I wanted to go to 10 or
8 100 hours my battery has to get 10 or 100 times bigger,
9 my turbine just continues to run.

10 So, there's a lot of different variables in
11 play, but this why we're looking at hydrogen as a means
12 of long-duration storage, especially as other means of
13 long-duration storage evolve we're looking at how to
14 compare those in a framework that looks -- that it gets
15 to ratepayers.

16 The next slide, please. Some of the ecosystems
17 we're looking at are land-based PV, hydrogen with
18 offshore wind. And, of course, we'll see some examples
19 from colleagues in Europe about hydrogen in the North
20 Sea combined with wind.

21 The applications may look similar or may look
22 different in different applications. In some cases
23 we're going to see, for example we have a large solar
24 farm and it's producing more energy than can be taken at
25 the interconnect or that the grid needs at a particular

1 time. In that case, ecosystem might have the
2 electrolysis right where the real energy is produced,
3 and then we generate energy at the same site, or maybe a
4 different site depending where the generation assets are
5 when the grid needs it.

6 Offshore wind, likely we'll want to bring that
7 energy ashore in an undersea cable. And the reason for
8 that, we'll see in Arne's presentation later on, that
9 the profiles for wind generation are quite complementary
10 to solar. So, we want to use that electricity in its
11 generated form to complement wind, or to complement
12 solar, especially so for land-based solar which ramps up
13 just as the sun is setting, and offshore wind which has
14 a very steady capacity factor. So, we'll need to look
15 at how each one can work as we look at the comprehensive
16 ecosystem.

17 The next slide, please. One of the things we're
18 looking at is that the cost of hydrogen is highly
19 dependent upon the input price of clean energy. So, as
20 the price of wind and solar has dropped, so too has the
21 price of hydrogen.

22 In the baseline model here we say at \$.07 input
23 price for electricity we get about \$5 per kilogram. It
24 moves down quite substantially as the input price of
25 electricity goes down.

1 Some people talk about free curtailed wind or PV
2 and that certainly is the case initially. But as we
3 purpose build systems, we need to really think about
4 optimizing the utilization of the electrolysis and the
5 PV, or wind system, and how they should be sized to be
6 optimal as a system.

7 We'll see, hear more from Department of Energy,
8 from Sunita, who will talk about their goals to get
9 hydrogen down to \$1 per kilogram. This will be one of
10 the factors and we'll be interested to find out other
11 factors that they want to use to reduce the price over
12 time on their price reduction roadmap.

13 The next slide, please. We're going to be
14 looking at various means of storing hydrogen and
15 distributing hydrogen. That could be, as is currently
16 used, tube trucks, compressed hydrogen in tanks, but
17 also pipelines for gaseous hydrogen which could either
18 be purpose built, or very judicious blending of hydrogen
19 into our natural gas system.

20 We're also looking at geologic structures.
21 Structures that are currently used for storing natural
22 gas could be one option or other structures, such as
23 salt domes, could be used for geologic storage.

24 In each case we need to look at the ecosystem,
25 and what the needs are, and the storage capabilities of

1 these systems.

2 The next slide, please. Some of the main points
3 we're looking at for end use are typically, when we're
4 talking grid generation we'll be looking at turbines,
5 which are generally more cost effective than fuel cells.
6 But we need to be concerned about the criteria
7 pollutants, specifically NOx that will be an issue for
8 the combustion process of turbines.

9 For natural gas pipelines, as we mentioned for
10 existing natural gas pipelines, especially in the U.S.
11 where we have not used coal gas to the extent that it
12 has been used in Europe, we're limited to about 7
13 percent by weight before metallurgical embrittlement
14 becomes an issue.

15 Hydrogen may be transmitted in a 100 percent
16 concentration with purpose built pipelines or we may
17 also be able to convert hydrogen by sequestering with
18 CO2 to a green -- a form of green CH4 which could be
19 transmitted in a natural gas pipeline. So, that's
20 something we're investigating.

21 There was some discussion before certainly about
22 the future of the natural gas system and it's very
23 relevant to that end of the picture.

24 We also know that hydrogen behaves differently
25 in end use appliances. So, this is important from -- if

1 we're going to have a turbine, then the combustion may
2 need to be changed out. Or, in homes or businesses
3 hydrogen, if it's supplied for certain uses, high heat
4 industrials, the burners may need to be changed, the
5 flame characteristics are different. And that's
6 something we have ongoing research to be able to
7 understand that better as time goes forward.

8 The next slide, please. So, because of the
9 importance of green CH₄, that's a path we're going to be
10 looking at. Where you have an electrolyzer combined
11 with a methanation unit to take green H₂ and turn it to
12 green CH₄. And it could be that green CH₄ is either a
13 byproduct of green H₂, or competing fuel from
14 decarbonized biogas.

15 This is an example of one plant in Germany where
16 that's being done.

17 The next slide, please. So, one of the things
18 we're looking at in the roadmap is also to consider
19 alternatives to hydrogen for each end use. And so, for
20 firm dispatchable generation we would certainly consider
21 hydrogen, where we need to modify the turbines. We
22 would also consider green CH₄, either from hydrogen or
23 from biogas where we could use the existing generation
24 and pipeline. In both cases we would need to look at,
25 carefully, local criteria pollutants and also comparing

1 to long-duration storage.

2 Transportation uses we'll look at as battery
3 electric vehicles evolve along with fuel cell vehicles.
4 And then, for stationary end uses we'll look at both
5 green H2 and CH4.

6 The next slide, please. So, we have a lot of
7 current research going on in ERDD. I won't go into each
8 specifics, but we have research in generation storage,
9 research in helping disadvantaged communities with PSPS
10 events, and research in transportation both for
11 locomotive and tugboat, harbor craft type of use.

12 The next slide, please. We also have planned
13 research in many areas, generation, delivering storage,
14 transportation, as well as buildings, industrial.

15 The next slide, please. And our colleagues in
16 Fuels and Transportation Division have done nearly \$200
17 million in investment and have additional funding coming
18 from our legislature, where they'll be able to go much
19 deeper into zero emission vehicles which will be both
20 electric and fuel cell vehicles.

21 So, with that said let's move to our panelists.
22 Let me say that our first presenter will be Nick Jensen
23 from Demark, and he's the advisor for the Center for
24 Global Cooperation. And he's prepared a prerecorded
25 presentation from Demark.

1 MS. RAITT: Actually, you know what, Mike, this
2 is Heather, since we're running a little behind schedule
3 I wonder --

4 MR. PETOUHOFF: Do you see Sunita?

5 MS. RAITT: She is not on, yet. Let's see, so
6 okay at this point maybe we should just talk about all
7 the speakers we have and hope that she joins shortly.

8 MR. PETOUHOFF: Okay. All right. Well, let me
9 introduce our speakers and then maybe -- and then we'll
10 have Sunita join us. Does that make sense?

11 MS. RAITT: Sure.

12 MR. PETOUHOFF: Okay. So, after Nick Jensen
13 we'll have Sunita Satyapal. Sunita directs the U.S.
14 Department of Energy Hydrogen and Fuel Cell Technologies
15 Office. She is in charge of about \$150 million per year
16 of research, and the staff there.

17 And she's going to be talking about Department
18 of Energy's roadmap to get to a dollar per kilogram,
19 within a decade, for hydrogen. And we'll be interested
20 to see how her process works and if there's potential
21 that we may be able to work with her.

22 We'll also hear from Germany. Ulrich
23 Benterbusch will be talking with us about what's
24 happening in Germany. Ulrich is currently the Deputy
25 Director at the Federal Ministry for Economic Affairs,

1 and the group in Germany. He joined the Office of the
2 German Chancellor. And from 2003 he headed the
3 Department of Bilateral Economic Relations, Foreign
4 Trade, and the World Trade Organization, and the G-8.

5 From 2009 to 2013 Mr. Benterbusch was the
6 Director of the Office of Global Policy at the
7 International Energy Agency.

8 And he's also going to be joined by Toni Glaser,
9 who may be able to help with some questions.

10 We also have Paul Schultz, who's the Director of
11 Power External Resources at the LADWP, Los Angeles
12 Department of Water and Power. He's responsible for all
13 of LADWP's external generation sources, also marketing
14 and implementation of the energy imbalance market at the
15 LADWP. Previously, he was the operating agent for the
16 Intermountain Power Project and APEX Generating Station
17 representing LADWP. And we'll hear about the
18 Intermountain Project and the HyDeal Project from Paul.

19 Next, we'll have Joel Ledesma, who's the
20 Assistant General Manager of Generation Services for the
21 Northern California Power Agency. Previously, he was
22 the Deputy Director of the State Water Project where he
23 led 2,000 employees and had responsibility for over a \$1
24 billion annual budget.

25 Then, finally, we'll have Arne Jacobson who's

1 director of the Schatz Energy Resource [sic] Center and
2 Professor of Environmental Resources at Humboldt State
3 University. He's also coordinator of Humboldt State
4 University's Master's Program in Energy Technology and
5 Policy.

6 MS. RAITT: Wonderful. Thank you. And we have
7 -- I'm sorry, Dr. Satyapal is with us now so --

8 MR. PETOUHOFF: Oh, great. Welcome Dr.
9 Satyapal. We're excited to hear the pathway to get to a
10 \$1 per kilogram. And if there's any ways that
11 California might be able to participate in that, we'd be
12 interested to hear that as well.

13 DR. SATYAPAL: Great, thank you. So, thank you
14 for inviting me, Mike, and to all the organizers
15 apologies for the change in agenda. But it's great to
16 be here. First of all, thank you and congratulations to
17 California and a lot of the stakeholders here who have
18 been at the forefront of hydrogen and fuel cells.

19 So, if you go to the next slide, I thought I
20 could give you just a high level overview of what's
21 happening at DOE. In general, I think mostly we are of
22 the early work with the Energy Policy Act and now, of
23 course, the 2020 Energy Policy Act. We did release the
24 DOE-wide Hydrogen Program Plan in November.

25 So, I just want to emphasize there's

1 coordination across DOE, also with other agencies. We
2 have an interagency working group. You can see it's
3 really a broad portfolio.

4 So, I just wanted to start right up front that
5 hydrogen is one part of a very broad portfolio of
6 activities and a lot of coordination.

7 And if you go to the next slide, I thought I'd
8 again -- several of you may be aware of this but the
9 H2@Scale initiative is what we launched a few years ago
10 with our labs, and the industry, and multiple
11 stakeholders. And here the concept, again, is looking
12 at hydrogen as an enabler.

13 So, the versatility of hydrogen, many call
14 hydrogen the Swiss Army Knife of energy. But again, the
15 main point is you can produce this from a broad
16 portfolio of diverse domestic resources. We're looking
17 at renewables, nuclear as well. I know we have, for
18 instance, four projects. Depending on where you are in
19 the country, the availability of clean electrons you
20 see. And then, obviously, fossil as well. We produce
21 10 million metric tons of hydrogen in the west, which is
22 almost one-seventh of the global supply. And some are
23 aware that other countries are looking very
24 strategically at the opportunity to export hydrogen.
25 So, more and more interest as countries are looking to

1 meet their climate goals, realizing that hydrogen will
2 be part of the mix. Because they can only produce so
3 many clean electrons in their regions, they're going to
4 need to import that molecule, especially to decarbonize
5 the hard-to-decarbonize sectors.

6 So again, the picture shows the conventional
7 grid in red, that red circle, the conventional natural
8 gas infrastructure. And we, in the U.S. have 3 million
9 miles of pipeline. We have extensive LNG and CNG
10 infrastructure.

11 And then the blue, again the main takeaway is
12 once you've produced hydrogen you can store that
13 hydrogen mostly from intermittent renewables, feed it
14 back to the grid, use fuel cells for easily dispatchable
15 resilient power.

16 And then, all those bubbles on the right,
17 transportation hydrogen plus CO2 for syn fuels and
18 sustainable aviation fuels. It can be used for oil
19 upgrade, oil refining, and fertilizer production. Steel
20 accounts for almost 8 percent of global emissions. So,
21 we can inject it into the hydrogen or into the natural
22 gas pipeline. So, basically, it opens up a lot of
23 opportunities across sectors.

24

25 And we have looked at various scenarios,

1 potentially even five times more hydrogen. And to give
2 you an idea, if we produced 10 million metric tons more
3 of hydrogen in the U.S., that would basically double
4 today's solar or wind deployment.

5 And then, many studies out there, industry
6 studies looking at \$140 billion in revenue, 700,000
7 jobs, a lot of analysis.

8 But the main three points I wanted to make here
9 are the contribution of hydrogen and the
10 administration's goal. So, obviously, completely
11 carbon-free by 2050, net zero emissions, so across
12 sectors. And then, the 100 percent clean grid by 2035.
13 So, potentially opportunities for long-duration energy
14 storage.

15 And then finally, last but not least, I do want
16 to emphasize a really key initiative and that's the
17 Environmental Justice EJ 40 Initiative, showing 40
18 percent of our benefits, the federal benefits in
19 disadvantaged communities.

20 So, as we look to our future activities in clean
21 energy how do we impact, you know, positively those most
22 historically and currently disadvantaged communities.
23 So, again that's really critical. I'm happy to continue
24 the dialogue there.

25 So, the next slide shows basically where are we

1 today when it comes to hydrogen and fuel cells in the
2 U.S. This is just one snapshot. You can see on the
3 left the number of growing applications. These are
4 commercial applications. And again, California's in the
5 lead. They're down looking at the vehicles with the ZEV
6 Mandate, the Low Carbon Fuel Standard.

7 But you see a number of examples, like over
8 40,000 forklifts, a niche market there. That's enabled
9 over 100 stations just for hydrogen.

10 You can see in the map at the top most of the
11 regions have hydrogen from natural gas. We have over
12 1,600 miles of pipeline. We have three caverns and
13 that's including the world's largest geological cavern
14 in Texas. There are a number of examples of projects
15 that are emerging. Utah, different regions for instance
16 looking at hydrogen end use.

17 And in the bottom, on the map, we show for the
18 first time we've compiled the PEM electrolyzer
19 installations and plans. And again this is pretty
20 small, we're at about 170 megawatts of green hydrogen.
21 And the largest in the world, by comparison, is about a
22 4-gigawatts plant in Saudi Arabia. And a huge planned,
23 40 gigawatts total in the next decade or so. And so,
24 that gives you a snapshot.

25 And the next slide, basically wanted to cover

1 the tipping point. So, as we look at the U.S. and where
2 can we increase scale, I think that's in the critical,
3 this just shows scenario.

4 So, for instance in medium- to heavy-duty
5 trucks, we can be competitive at \$6 for the early
6 market. You can see that wedge there \$5. And this
7 example is 20 percent of all the heavy-duty and medium-
8 duty trucks that use fuel cells. We would enable
9 another 5 million metric tons of hydrogen.

10 Similarly, if you go down, the third year you
11 can see sustainable aviation fuels, ammonia fuel
12 production, injecting into the natural gas pipeline or
13 energy storage. And the main point, really is if we can
14 get to \$1 as the cost of hydrogen, clean hydrogen, that
15 will unlock substantially more hydrogen and, obviously,
16 hydrogen production.

17 So, the next slide basically summarizes when
18 President Biden, at the Climate Summit, really
19 emphasized the urgency, I think that's the main takeaway
20 here is when he asked our Secretary how can we
21 accelerate development of critical technologies, our
22 Secretary launched the Hydrogen Energy Earthshot. This
23 is the first in a series of earthshots to really
24 accelerate progress in terms of meeting our climate
25 goals.

1 And the next slide shows you what the earthshots
2 typically appear. Clearly articulated an ambitious goal
3 of "1 1 1", one dollar for one kilogram of clean
4 hydrogen in one decade.

5 So, again, we're at about \$1.50 now for natural
6 gas to hydrogen. We're at about \$5 at low volume. So, a
7 capital cost of about an 80 percent reduction. But we
8 think we can get there and we're going to be mobilizing.
9 It's really an all-hands-on-deck approach.

10 And the next slide, I think we'll end shortly,
11 shows you pathways of how we can get there. And again,
12 all pathways are included.

13 And I think the last slide talks about the next
14 steps. So, looking regionally how can we co-locate,
15 look at production, end-use applications.

16 And then, if you save the date, August 31st,
17 we've planned the Hydrogen Shot Summit. So, we'll
18 provide more details on, again, what our plans are going
19 forward.

20 So, with that I think I'll turn it back to you,
21 Mike. And thanks again for the invitation.

22 MR. PETOUHOFF: Dr. Satyapal, thank you very
23 much. And we understand your schedule's somewhat
24 constrained, but we have a few minutes for questions
25 from Commissioners if you're able to stay for that.

1 DR. SATYAPAL: Sure. Thank you.

2 MR. PETOUHOFF: I'll turn it over to the dais.

3 COMMISSIONER DOUGLAS: All right. Well, thank
4 you so much for that great presentation and thank you
5 for participating in our workshop today, this morning.

6 You know, we're really interested in pursuing
7 partnerships here and certainly working closely with
8 DOE, and understanding how the State of California can
9 be part of an effort to realize the potential of
10 hydrogen as we look at the state energy picture and the
11 national energy picture.

12 And so, you know, I don't know if you have any
13 suggestions for how to continue just collaborating on
14 ideas, and moving forward and, you know, the level of
15 partnership that we could achieve to move this forward.
16 But I'd be really happy to engage in that conversation.
17 And I know a lot of my colleagues here on the dais
18 would, as well.

19 DR. SATYAPAL: Yes, thank you so much,
20 Commissioner. And we've have such a great long standing
21 collaboration, I see Patty here, too, in the past as
22 well, when Janea was here. She sat on an advisory
23 committee.

24 COMMISSIONER DOUGLAS: Yeah.

25 DR. SATYAPAL: With CARB, of course, we have

1 such a long history of partnerships. And so, I
2 definitely look forward to, you know, reinvigorating
3 that. I think partnerships will be key, so I'm happy to
4 follow up there.

5 I think one other quick point I'll make is on
6 the international scene, as well, we're coordinating
7 with multiple countries getting back in the game again.
8 Emission innovation. We are looking very strategically
9 at basically the analytical framework. If countries are
10 looking to import hydrogen, looking at how we can
11 ensure, you know, a U.S. position there. And so, we've
12 also been pulling in EPA and others.

13 And so, I think with CARB and the history of
14 different policies, for instance LCFS, and looking at
15 all of that, production tax credits how can we really
16 accelerate progress. So, happy to follow up afterwards
17 of, you know, what are the best policies and incentives.

18 COMMISSIONER DOUGLAS: Absolutely, we'd be
19 delighted to follow up. And we have some relationships
20 with international partners in energy as well, where
21 we've had dialogue about hydrogen, about information
22 exchange, and technical kind of knowledge exchange.

23 And the presentation you'll hear from Demark and
24 Germany for example, both come out of some of these
25 dialogues and collaborations that we've had.

1 And we certainly do see some nearer term and
2 longer term areas where we very much welcome the
3 collaboration and partnership. And I know, as you say,
4 there's a long standing history of that.

5 So, thank you so much for making time to be part
6 of this panel this morning.

7 DR. SATYAPAL: Thank you so much.

8 COMMISSIONER DOUGLAS: Let's just see if any of
9 the other Commissioners have questions.

10 COMMISSIONER MCALLISTER: Go ahead, Commissioner
11 Monahan.

12 COMMISSIONER MONAHAN: Oh, thanks. I appreciate
13 that because I've only got a few minutes.

14 Sunita, that was a great presentation. It's
15 really exciting to hear how DOE is investing in the
16 strategies to reduce the price of clean hydrogen.

17 And I'm wondering if you can -- is there
18 anything you could do to elaborate on how you're
19 thinking about that? I mean right now in California the
20 price of hydrogen at the pump is more like \$16, \$17 per
21 kilogram and it's been kind of trending up, rather than
22 trending down. And I think, you know, as we get cleaner
23 and greener, at least in the near term there's going to
24 be some expense and then, hopefully, that will fall with
25 time.

1 But just curious about your strategy for that
2 because that's something, as you know, that's critical
3 in really being able to expand the market is to drive
4 down the price of green hydrogen.

5 DR. SATYAPAL: Yeah, so thanks Patty. And
6 again, the Hydrogen Shot is first focusing on the
7 hydrogen production feed, which is the \$1. Obviously,
8 the delivery, the dispensing that's where all the cost
9 comes in. So, even in our analysis it can be, you know,
10 \$8 to \$11 just for that piece of that.

11 So, that's where I think getting to scale is
12 such an important piece. It's not just the R&D, which
13 we're continuing to fund. But that's where if we can
14 get large scale production and end use even across
15 applications, you know, steel plants for instance, and
16 other industrial sectors, ammonia, that will help to
17 drive down the cost of that infrastructure. So, again,
18 it's that concept of marrying the supply with the
19 demand. But we're continuing to R&D, definitely
20 compression, the sensing, you know, looking at cryo
21 pumps. How can we get the cost down for that
22 infrastructure piece.

23 COMMISSIONER MONAHAN: And are you -- are you
24 also looking at the distribution, how do we develop
25 networks for distribution that are not just two trailers

1 going from point A to point B, but something cheaper and
2 where we can transfer much larger amounts of hydrogen.

3 DR. SATYAPAL: Yeah, I think that's going to be
4 really critical. So, if you look at some of the
5 infrastructure bill language and its concept of a
6 hydrogen hub, also the American Jobs Plan is so
7 critical. We're hoping that passes. That talks about
8 15 hydrogen demonstrations.

9 And so, I think again look very strategically at
10 where do we put in those pipelines or, you know, other
11 infrastructure, which is again having the right location
12 where we have sustained off takers will be important to
13 determine, you know, where best to invest in that type
14 of infrastructure. But I think all that will start --
15 there will be a deployment and financing session also at
16 the summit, so happy to follow up later as well. This
17 is just the beginning. So, I think getting the strategy
18 right will be really important.

19 COMMISSIONER MONAHAN: That's great. Really
20 exciting.

21 COMMISSIONER MCALLISTER: Great. Thank you,
22 Commissioner Monahan. Actually, does anyone else on the
23 dais have any comments or questions? I do, but I'll go
24 last if that's okay.

25 Commissioner Houck or Matt? Okay, great.

1 Great. So, thank you so much, Dr. Satyapal.
2 Thank you. I really appreciate all -- I feel like we're
3 tag teaming different events all over the landscape
4 here. So, it's great to see you again. Your leadership
5 is just so tremendous in this area, so thank you.

6 I will point out that throughout this IEPR cycle
7 we're doing everything we can to include, in every
8 workshop where it makes sense, some representation from
9 the federal government. And I think that's a really
10 important point to make here that just the alignment
11 that we now have with the Biden administration is a real
12 game changer. There's just been a sea change in sort of
13 esprit de corps, you know, the collaboration that we
14 have with the federal government and just the alignment
15 on all the different policies for buildings, and grid
16 planning. And, of course, hydrogen here.

17 So, I think that's just an incredibly positive
18 development that we need to take advantage of because of
19 the urgency. You know, as we've heard, as we all know,
20 the urgency is just higher than it's ever been in our
21 lifetimes.

22 So, let's see, I guess just building on this
23 spirit of partnership, you know, I think on policy
24 certainly, you know, there's a lot of alignment. So, as
25 Commissioner Douglas said we want to collaborate on

1 that, on any projects, you know, in California.

2 Certainly, absolutely want to find avenues for
3 partnership and cultivating partners across the globe.

4 And I think, I would just point out, you know,
5 we do have a big economy. You know, I think we have
6 some national -- we have partnerships with actually
7 other nations, as well as some national entities. And I
8 think it just makes all the sense in the world to speak
9 with, you know, as much with one voice as possible and
10 really leverage resources to help move our partners, to
11 help lift them as well. And so, that's not just Germany
12 and Demark, it's Japan, it's, you know, potentially
13 China. It's, you know, Mexico even. I mean there's a
14 lot of possibilities there.

15 And certainly on the research and development
16 front, as I think Mike said, you know, there is the
17 project of some significant resources coming from our
18 state budget process to this arena and, you know, having
19 and connecting all the dots, and trying to leverage all
20 of those resources makes a lot of sense.

21 And I also would just maybe point specifically
22 to the COP. You know, a lot of our collaborations have
23 developed, you know, in the sort of period where it was
24 just up to us and we didn't have a partner so much in
25 the federal government. There was some opposition

1 there. And so, we developed a bunch of collaborations.
2 And I think (indiscernible) is a really amazing
3 opportunity to have alignment and really show that we're
4 firing at all cylinders at the state and national level.

5 So, and then finally, I would just highlight,
6 you know, we do have federal entities and lots of
7 federal funding coming into California in the industrial
8 sector and at the national labs that are excellent
9 platforms for collaboration.

10 We have a couple of Industrial Assessment
11 Centers, so hydrogen can absolutely be a -- play
12 potentially a role there in the industrial side. And
13 then, obviously, we have Berkeley Lab and, you know,
14 SLAC, and other national -- other federal resources here
15 as well that we work with, we fund a lot of work with,
16 and would love to collaborate and look for avenues there
17 as well.

18 So, thank you for being here. I don't have a
19 question, but just wanted to sort of extend a robust
20 hand partnership again, and thank you for all of your
21 work and vision, really, over all these years. Thank
22 you.

23 DR. SATYAPAL: Thank you so much, Commissioner.
24 Maybe one last thing I'll mention that we'd like to do a
25 better job of, and I think you've been out in front

1 here, too, is how to engage the, you know, the EJ aspect
2 and the disadvantaged community. So, again, the message
3 that not -- we're working for the disadvantaged
4 communities, but with disadvantaged communities. And we
5 have a Tribal Energy Office, we have, you know, the
6 political appointee office, Office of Economic Impacts
7 and Diversity.

8 So, in some states there has been some backlash
9 for the hydrogen, and green hydrogen, and questioning
10 our air pollutants and so forth. So, I think that's one
11 area as well that we'd like to collaborate more and make
12 sure we're increasing the purview here in terms of the
13 dialoguing and the planning. So, happy to talk more.

14 And I apologize, I'm going to have to drop off
15 for another meeting. So, thank you again for all the
16 leadership.

17 COMMISSIONER MCALLISTER: Great. Thank you. By
18 the way, we did have Tony Reames at a building
19 decarbonization workshop.

20 DR. SATYAPAL: Okay.

21 COMMISSIONER MCALLISTER: And we're in touch
22 with Shalanda Baker at DOE. And so, absolutely you're
23 point is extremely well taken, so thank you.

24 DR. SATYAPAL: Thank you.

25 COMMISSIONER MCALLISTER: All right, take care.

1 All right, back to you Mike, thank you.

2 MR. PETOUHOFF: Thank you. Thank you for that
3 presentation and for engaging questions.

4 I think at this point what we'll do is we have
5 some speakers, live speakers from Germany. And
6 considering time zones, we'll go next to Germany.

7 And I think what we'll do is we'll go through
8 the other speakers in order. And since our speaker from
9 Demark is recorded, we'll put that at the end of the
10 program and then open up for questions.

11 So, we'll go to Ulrich Benterbusch, who's the
12 Deputy Director General at the Federal Ministry for
13 Economic Affairs and Energy, in the Federal Republic of
14 Germany. And he may be joined by Toni Glaser as well,
15 to answer some questions.

16 We'll have a presentation and because of time
17 zones we will then again break for questions from the
18 dais. Thank you.

19 MR. BENTERBUSCH: Yeah, thank you very much
20 Mike. Thank you for inviting me. And it's really a
21 pleasure to listen to all the discussions up until now.
22 It really shows that we are really well aligned in
23 California, in Washington, and in Berlin, and I would
24 say even in Europe now. And I only want to allude that
25 there has been a phase when this was not self-

1 understood, and it's really, really encouraging to
2 listen to all your debate and in particular, also, from
3 the contribution from our colleague from Washington.

4 So, with that I would like to start. And
5 please, next slide, please. You will see that Germany
6 had changed its plan. We want to be climate neutral not
7 in 2050, but since June this year it's 2045. And we
8 have, of course, increased our ambitions. So, the new
9 target for 2030 is round about 543 million tons of CO2
10 equivalent. That means in this decade we have to reduce
11 round about by 250 million tons, which is really a huge
12 challenge for the different sectors.

13 But I would say it's manageable, we can achieve
14 that. But it really means that the ambitions that we
15 have, the policies that we pursue have to be quite
16 different from what we have seen in the last decade.
17 So, there is a game changer necessary and that is the
18 message also which comes together with hydrogen.

19 The next slide, please. Now, I want to say one
20 thing of course up front, hydrogen is an important
21 source for decarbonization but it is, of course, not the
22 one-size-fits-all solution for all our problems. But it
23 is necessary.

24 And I'm grateful also for, you know, this
25 observation from Commissioner Baker who said that, yes,

1 we need green electrons and we need green molecules.
2 And, of course, not only green hydrogen, there are also
3 other forms of gases that can be decarbonized and green.
4 But the key is we need the green molecules, otherwise
5 climate neutrality is not possible. And in our view,
6 it's like a political, let's say, formula. If we want
7 really decarbonization without de-industrialization,
8 then the green hydrogen, decarbonized hydrogen is
9 absolutely necessary.

10 For us, therefore, the market ramp up now of
11 hydrogen is critical and the objective that we have
12 developed in our national hydrogen strategy, they all
13 center around the market ramp up for green hydrogen. We
14 focus on green hydrogen in Germany. That's understood
15 because it's really, in the longer run, the sustainable
16 source of decarbonized hydrogen.

17 But in a transition phase we also think blue
18 hydrogen will be necessary because we will need sooner
19 and later large amounts of hydrogen, and we don't see
20 how this can be produced as quickly as needed through
21 green electricity.

22 But we see that as a transition phase and for us
23 that we will not, let's say, support via state aid the
24 production of blue hydrogen. That should be, you know,
25 done by the market.

1 The next slide, please. Now, the situation is
2 as follows. In our strategy we have set a target that
3 we want to install on German soil, onshore or offshore,
4 by 2030 5 gigawatts of capacity of electrolyzers. This
5 will then lead to round about 14 terawatts of green
6 hydrogen.

7 We have the demand project by 2030 90 to 110
8 terawatts, round about 55 of gray hydrogen is at the
9 moment in the market. In terms of areas and uses, we
10 see the industry and transport sector first. And, of
11 course, we also need to focus on the infrastructure
12 build up for that, but I will come back to that in a
13 minute.

14 The next slide, please. Now, our strategy does
15 contain a detailed action plan because the market ramp
16 up will not come just by, you know, watching. It needs
17 a lot of framework conditions that need to be put in
18 place.

19 One is that you need sufficient funds in terms
20 of state aid to complement the investment of industry.
21 And with the recovery plan from the COVID crisis, our
22 government has provided 9 billion Euros, which is quite
23 a substantial amount, 2 billion Euros for projects with
24 international partners and 7 billion for projects in
25 Germany, basically.

1 We have decided that, well, in the first let's
2 say years, we will try to focus in particular on
3 projects that are comparatively close to profitability,
4 so that the margin that we have to subsidize is not too
5 high or hard sectors, of course, which is where we have
6 no other alternative.

7 One of the key areas here is the replacement of
8 gray hydrogen through green hydrogen in refineries.
9 That goes back to European regulation, and in this
10 context we do think that when it comes to a successful
11 market ramp up this will be an important area of
12 investment.

13 Another very important, let's say, lesson
14 learned is that at the beginning in the phase of the
15 market ramp up we need integrated projects. That means
16 we're going to support only projects where, you know,
17 there is an electrolyzer so there is production. We
18 know how it is transported. Normally by a pipeline, but
19 maybe also by truck or trailers. But we need to have an
20 answer on the question of how is the hydrogen
21 transported.

22 And in the end, we need also somebody who is
23 going to use it, because we will not support just the
24 production of green hydrogen without knowing on a
25 project basis who is going to use it and how much it's

1 going to cost.

2 So, we need integrated projects along the whole
3 value chain and we're going to do that in a European
4 context. IPCEI is certainly an acronym not very well
5 know I think in California, and you don't have to know
6 it, but it stands for Important Projects of Common
7 European Interests. That is the formula under which we
8 can apply for the permission of the commission to grant
9 certain state aid that we can then provide to the
10 companies.

11 As European approach requires that, you know,
12 it's not just a German investor, but there are still
13 over 2 European partners, and there is collaboration
14 with European partners. And this year we have now
15 identified round about 60 big projects out of 230, which
16 we will support in the upcoming two, three years. And
17 the first round about 10 projects are now with the first
18 wave of being, you know, presented to the commission and
19 we hope that they will be approved by the end of the
20 year.

21 One thing I want to stress here that is that we
22 -- out of this European project, if things work out
23 well, we will have by 2030 at least 1,700 kilometers of
24 pure hydrogen network, transport network, transport grid
25 installed which, of course, is very important.

1 The next slide, please. But in addition to
2 necessary state aid, you also need tailor-made
3 regulation. Because if companies should take a final
4 investment decision, then the regulation around green
5 hydrogen needs to be clear and encouraging.

6 So, one thing in the German context is that we
7 have lifted the EEG surcharge from electricity used for
8 the production of green hydrogen and also the grid cost
9 is zero. The transparency on CO2 footprint is a need
10 that we also need from a European regulatory viewpoint.

11 I also already alluded to the regulatory
12 framework for the infrastructure. That law has now
13 passed the Bundestag. We have election in September, so
14 it was very critical that these changes were adopted.
15 And it means in particular that our companies,
16 infrastructure companies can use existing gas pipelines
17 that, you know, today are used for natural gas
18 transport, and converted into H2 pipelines. This is a
19 relatively cheap way of transport of green energy
20 sources and we do hope with that, at least for the
21 starting and the market ramp up we have, at least on the
22 German territory, a regulation that will work.

23 We have European regulation implemented
24 concerning renewable energies in the transport sector.
25 That will certainly help a lot of investment to be

1 fueled into this sector of hydrogen because it gives
2 quotas and other incentives to produce synthetic fuels,
3 synthetic kerosene, hydrogen for heavy trucks, but at
4 the same time also other sources of green energy that
5 you can use in the transport sector.

6 But to give you an idea, today we have round
7 about 5, 6 percent renewable energy in the transport
8 sector and by 2030 that number should be 32.

9 We are still working in Europe on the definition
10 of green electricity. In this context it's a very, very
11 crucial regulation because electrolyzers will also have
12 to get electricity from the grid. And the big question
13 is under which regulation you count it as green.

14 I will give you just one example. In the German
15 context we have today round about 50 percent of green
16 electricity, that's the average share of the year at
17 this point in time, and the rest is of course gray. It
18 comes from basically coal and lignite. And if we want
19 additional green electricity for electrolyzers and green
20 hydrogen, then the question is do you need 100 percent
21 additionality or just the missing, the gap, you know the
22 50 percent that is gray. And, of course, we think that
23 phase, you know, when you go into a ramp up market phase
24 you need flexibility, so the additionality criteria can
25 only be 50 percent.

1 But just to give you an idea that around this
2 question that has also then to do with the question
3 where is the electrolyzer located. Is it close to the
4 electricity production, the windmills in the north, or
5 is it more in the south. What is the question of, you
6 know, how compatible are the electrolyzers run with the
7 electricity system, with variable renewables. So, there
8 are many questions in this upcoming regulation that the
9 European Commission needs to decide on. And it's a very
10 critical one for the ramp up of the green hydrogen
11 market in Europe.

12 And, of course, when it comes to support we will
13 also need CAPX, but we will also need OPEX. For
14 example, in the industry we are not sure that we will
15 get started without OPEX. There is an instrument like
16 contract for difference. But this is utterly expensive
17 and we need to be very careful with that.

18 The next slide, please. I will make this very
19 short. Because one of the basic ideas that's now
20 absolutely clear is that the German coal is not
21 delivering enough renewable energies, you know, to
22 produce enough green hydrogen. So, imports of green
23 hydrogen or derivatives will be very, very important.
24 So, we are looking out for cooperation in Europe but
25 also, of course, also beyond the borders.

1 The next slide, please. In this context I want
2 to mention one instrument that we are developing that is
3 called H2 Global. It's a special program. We have, oh,
4 let's say industry has -- a couple of companies have
5 founded now the foundation, and that foundation has a
6 job to offer via auctions the purchase of green hydrogen
7 or derivatives, so they can offer and should offer 10-
8 year contracts, and buy these new goods. And they
9 should sell the H2 or derivative on the German market.

10 Of course, there will be a cost difference in
11 the beginning and that we will -- you know, it will be
12 financed by the state. But by this we do hope, you
13 know, to encourage partners exactly in the Middle East,
14 or in Eastern Europe to really produce the products we
15 need and to build a value chain that can help is in
16 round about 10 years really to decarbonize industry at
17 large scale.

18 The next slide, please. Now, I would like to
19 turn a little bit your attention to what is going to
20 happen in wind energy. You see here our new targets.
21 We'll have, by 2030, round about 67 to 71 gigawatts.
22 Today we stand at 53. And we will add offshore round
23 about 10 gigawatts in the next 10 years, that's the aim.

24 The next slide, please. You see that this is in
25 comparison to your numbers. Not a lot, but in the

1 German context our coastline is rather small and if you
2 take the 40 gigawatts by 2040 that we want to have
3 offshore, then that's really all we can kind of use
4 there. It's not much more that we can do because the
5 North Sea and the Baltic Sea, they are really -- there
6 is a lot of fuel transport, you know, and other things,
7 so that is really the maximum that we can do.

8 Therefore, cooperation in Europe, next slide
9 please, is critical. And that has to do, of course,
10 with partners in the Baltic Sea, Denmark or Scotland,
11 because in general the North Sea has a very huge
12 potential for offshore wind and we need to lift that in
13 Europe.

14 You'll see here our system of ceiling prices for
15 auction. That's determined for '21, '22, '23. We are
16 very, let's say, we changed the model a couple of years
17 ago to go to auction and that is very successful now.
18 And in particular, the development of the sites is done
19 by a public agency that has also a lot and, therefore,
20 we do hope that we can develop this sector in the next
21 years very efficiently.

22 The next slide is just, again, this capacity in
23 the North and Baltic Sea. I think you are aware of
24 that. It also shows how limited our coastline in
25 Germany is.

1 But when it comes to hydrogen, and that is now
2 the next slide, there are new developments and this is
3 what I wanted to share with you at the end.

4 Mike, I think you were also hinting at that.
5 Because when it comes to offshore wind you can, of
6 course, put a cable under the sea and produce the
7 hydrogen with the electrolyzer on shore. But there are
8 also deliberations to put the electrolyzer in the tower
9 of the windmill and then collect the hydrogen. We'll
10 have a pilot project on that near a little island called
11 Helgoland in Germany. And we are very kind of keen to
12 see how that will power. The issue of, you know, you
13 mentioned salt water electrolysis is also very
14 interesting because that, of course, would help us
15 hopefully save energy.

16 But this is really research and development, and
17 we are not yet there. But I wanted to share these
18 deliberations with you, so you see that we are also
19 trying to enter new territory.

20 So, with that I would like to say thank you very
21 much for listening to this presentation. And if there
22 is time I'm, of course, happy to answer any questions
23 you may have.

24 MR. PETOUHOFF: Yes, Ulrich, thank you for your
25 presentation. And considering the late hour, we can

1 make a brief moment for questions from the dais, if
2 you're willing to do that.

3 MR. BENTERBUSCH: Sure.

4 COMMISSIONER MCALLISTER: I just want to
5 encourage anyone with questions. I want to thank you,
6 Ulrich, for that great presentation. Really, I think we
7 can learn a lot from you and that's why we have an MOU
8 where all of us think about where that's going to go.
9 And really thank you for really giving us that
10 comprehensive rundown.

11 Matt, or Commissioner Houck, I'm thinking
12 Commissioner Douglas might have had to drop.

13 DEPUTY SECRETARY BAKER: I don't really have a
14 question, but I do want to just -- I think what Germany
15 is doing, you know, really path breaking, and what the
16 Europeans in general are doing, and I think we can learn
17 a lot from that. You know, I think all of what you're
18 doing very much fits into kind of a, you know, no
19 regrets, certainly industrial-based approach. And it's
20 super interesting and I hope we continue. I just found
21 this very illuminating, thank you.

22 COMMISSIONER MCALLISTER: Yeah, I only have one
23 quick question or one quick -- maybe a question, more of
24 asking you for a reflection. But, you know, our systems
25 of public/private partnerships in Europe generally, and

1 certainly Germany, differ from how we tend to do things
2 in the U.S. You know, you have a very strong sort of
3 tripartite, you know, government, labor, you know,
4 consumer kind of industry, government/labor, you know,
5 closeness I think that sometimes we have less of or our
6 system isn't quite set up, you know, along those lines.

7 I wonder how does -- how do you see sort of --
8 how important do you see that partnership sort of, or
9 how close is it between industry and government, and
10 labor particularly in terms of pushing this enterprise
11 forward?

12 MR. BENTERBUSCH: Uh-hum. Well, I think when it
13 comes to industry in particular, the labor unions are
14 very aware that without hydrogen certain production
15 capacities we cannot sustain. There is chemicals, you
16 know. This all needs a change in the feedstock. And,
17 therefore, as we got labor, they are pretty supportive.

18 There are more issues when it comes to the
19 heating sector, you know. Because I was really
20 intrigued by your kind of aims of triple one, you know.
21 One kilo, one dollar, in one decade. And if that
22 happens, of course then that will help us also a lot if
23 that is then transferrable to Europe to decarbonize the
24 heating sector. Because how we decarbonize the heating
25 sector with regard to the buildings built, which are

1 fully insulated, you know, where you cannot really work
2 with a heat pump in winter because it would consume too
3 much electricity. That has big, big questions. And we
4 have a very, very, let's say sharp debate, you know.
5 But on the one hand if you use then hydrogen for
6 heating, it's maybe more inefficient, but because you
7 need first electricity, right, at least when it comes to
8 green hydrogen. But that is a very, very open debate I
9 would say.

10 And the jobs that we as, let's say bureaucrats,
11 in governments have to do is to keep the development
12 open, you know. We should not take the decisions about
13 technological solutions in the government. That should
14 be developed by the market, yeah. Of course, here and
15 there we need to develop, also, and help technologies to
16 get into the market, like electrolyzers. But that has
17 to do with, you know, the fact that we cannot by the way
18 today come up with a CO2 price that makes these things
19 compatible. Yeah, the downside of this would be too
20 high. So, there is a need for, of course, here and
21 there to help technologies.

22 But in the bigger picture when it comes to
23 decarbonizing the heating sector, we have different
24 options and that is our kind of approach.

25 And of course, I would also like to say thank

1 you for the partnership that we have with California and
2 there is good cooperation going on. And I should also
3 transmit best regards from Thorsten Herdan, who could
4 not join today. And we are also very happy and I would
5 like to express this here also in this context, that our
6 government at national level has now agreed to set up a
7 true energy partnership, a formalized energy partnership
8 between Berlin and Washington. Which, of course, a year
9 ago we were not dreaming of, you know. And that, I
10 think, is very important and goes in the right
11 direction. Because countries like Germany and the U.S.,
12 they need to closely collaborate in energy and also in
13 hydrogen, you know, to make decarbonization something
14 that really does not come too late when it comes to
15 climate change.

16 COMMISSIONER DOUGLAS: So, thank you for the
17 presentation and for being here late into your evening,
18 I know. And I just had a quick follow-up question. Can
19 you give us a sense of when you might have results on
20 the offshore wind pilot projects or when we might be
21 able to learn a little more about how those have gone?
22 Because that's something of quite a bit of interest here
23 right now.

24 MR. BENTERBUSCH: Yeah. I think it will at
25 least take three to four years. If the commission, you

1 know, gives us an approval then in the next year, and
2 the regulation comes out, right, from Brussels, then in
3 the next year, in 2022, enterprises can take final
4 investment decisions and then can start to work.

5 COMMISSIONER DOUGLAS: Uh-huh.

6 MR. BENTERBUSCH: But to get these windmills up
7 and to get these new technologies working, it will
8 certainly take two years or so. But that's round about
9 the timeline, I would say.

10 COMMISSIONER DOUGLAS: Thank you. Thank you.

11 COMMISSIONER MCALLISTER: Anyway, thank you very
12 much for being here. And I think we might be a little
13 past time, so I think we should move on. So, I'll pass
14 it back to Mike.

15 So, thank you so much for being here and have a
16 great evening.

17 MR. BENTERBUSCH: Well, you're very welcome.
18 And I wish you a good workshop.

19 COMMISSIONER DOUGLAS: Thank you very much.

20 MR. PETOUHOFF: Thank you, Ulrich.

21 At this point I think we'll move on to our
22 California presenters. And we'll go through all three
23 presenters and then have our recorded presentation from
24 Demark, and then we'll open it up to Commissioner
25 questions at the end of that.

1 So, I'll turn it over to Paul Schultz, Director
2 of Power and External Energy Resources at LADWP.

3 MR. SCHULTZ: Thank you, Mike. Appreciate the
4 invitation to present here. I'll try to be as quickly
5 as possible, I know we have a full agenda.

6 I just want to talk, you know, L.A.'s hydrogen
7 journey kind of started about four years ago. So, and
8 it kind of started with the project actually in Utah.

9 So, the next slide. You know, a couple of years
10 ago we made an announcement about a commitment to 30
11 percent green hydrogen at the Intermountain Power
12 Project facility. That decision had been made a couple
13 of years prior to that as we moved through developing of
14 RFPs for the new facility.

15 Just to give you some background, on the
16 existing facility it is -- it is not an L.A. facility.
17 It's a collaboration between 35 participants owned by
18 the Intermountain Power Agency. The facility's located
19 right smack in the middle of Utah, just north of a small
20 town called Delta, Utah.

21 It's two coal facilities. And the plan was to
22 transition from coal to natural gas, but I think we saw
23 -- as we saw greater and greater regulation on GHG and
24 the advent of SB 100 there was a decision needed to be
25 made that while we were contractually obligated for

1 natural gas at the facility, we needed a pathway to move
2 away from that as a fuel source.

3 Why this is important to us? So, again in a few
4 slides you'll see. But, you know, as a participant
5 we've been served well, about 98 percent of that energy
6 from the existing facility has been taken by Southern
7 California participants through a 2400 megawatt HVDC
8 line. Based on the physics of an HVDC line, we do need
9 a dispatchable resource at that facility. Putting a lot
10 of solar and wind at that facility won't operate that
11 HVDC line.

12 So, in order to maintain the reliability of the
13 power system and that transmission system, we had to
14 settle on some type of a combined cycle unit.

15 So, the renewed project, IPP-renewed project is
16 replacement of the coal facility with 840 megawatts of
17 natural gas that's class -- part of that RFP requirement
18 was we wanted to see a commitment on day one of 20
19 percent utilization of hydrogen. And then, a pathway by
20 2045 to get to 100 percent.

21 So, about a year and a half we signed a contract
22 with Mitsubishi. I will tell you that the hydrogen was
23 a small portion of the requirements, but we felt
24 comfortable with the pathway Mitsubishi had laid out,
25 their commitment to 30 percent on day one.

1 And so, we're working towards that. The
2 commitment at that location has been solely on green
3 hydrogen and I'll get to that in a few seconds. The
4 renewed project also is the replacement of the 2400
5 megawatt converter stations. They have been live and
6 been in use for almost 40 years here.

7 And then, we're looking for an in-service date
8 of May '20 until 2025.

9 The next slide. So, why this location is
10 important really is, you know, we're kind of -- Los
11 Angeles to our west, and to our south bordered by the
12 ocean. So, you know, we utilize a transmission system
13 that allows us to reach into the southwest. This
14 location is prime for wind resources. So, there's high
15 voltage DC line that allows us to reach into Wyoming for
16 wind resources. And we're currently under discussion
17 with 200 megawatts of Wyoming wind to bring through that
18 location.

19 So, you know, as we look at the facility, the
20 facility happens to sit above a domal salt formation
21 that would allow for what we initially saw as compressed
22 air energy storage, and now we're transitioning to
23 hydrogen production and storage at that location.

24 And because of that, because of the ability to
25 reach into the southwest for solar, Wyoming wind, and

1 then geothermal resources in the area we consider this
2 Utah's renewable hub, this specific location.

3 The next slide. So, this is the project at
4 Intermountain and really kind of the first of its kind
5 in the United States. We see this ever-increasing
6 amount of renewables in that area utilized in the
7 transmission system, the northern transmission system
8 and the southern transmission system to bring renewable
9 energy into that location. Using a commitment to green
10 hydrogen through electrolysis process to create that
11 hydrogen gas, store it as I said. The location is right
12 above a domal salt formation that allows solution mining
13 of multiple salt caverns. And it's not a new
14 technology. It's been done in the Gulf Coast states for
15 hydrogen storage.

16 And what this allows us to do is store up to
17 5,000 tons of hydrogen in each of these salt caverns,
18 which would ultimately allow us to do seasonal storage
19 of the renewable energy.

20 And I will tell you on day one that's what we're
21 going to see. We're going to be seeing the influx of
22 renewable energy, the process of creating hydrogen, and
23 then using a lot of the hydrogen produced in the spring
24 and fall months utilized during the winter and summer
25 months when need is the greatest for the new combined

1 cycle units.

2 And, of course, the combustion technology that
3 we've partnered with Mitsubishi on, the commitment to 30
4 percent by commercial operations date in May of 2025,
5 and a pathway to get to 100 percent by 2045.

6 I'm hoping here that in the next three months
7 we'll have the initial hydrogen production and storage
8 contract signed and we can be discussing about exactly
9 what the project will look like on the hydrogen
10 production and storage.

11 The next slide. This is the hydrogen timeline
12 at Intermountain. Like I said, the new units come on in
13 2025. There will be some switch yard upgrades completed
14 in 2026, along with the converter stations. The pathway
15 to 100 percent hydrogen, we're looking at the combined
16 cycle units with minor modifications to the combustor
17 system and some other portions happening in the 2032
18 time frame.

19 And the 2039-2040 time frame to get to the
20 capability to utilize 100 percent hydrogen. So that by
21 2045 we are utilizing 100 percent hydrogen fuel source
22 at that location.

23 Across the top you see the RPS targets for
24 California. Our city has committed to greater RPS
25 targets so that by 2035 we're at 100 percent GHG free.

1 We're still working through the details on how we're
2 going to make sure that those units are capable of
3 utilizing the hydrogen by 2030, 100 percent hydrogen by
4 2035.

5 The next slide. So, I said it was a hydrogen
6 pathway for Los Angeles. It is not just Intermountain.
7 A couple years ago our city council directed LADWP to
8 work with NREL to achieve -- to document the pathway and
9 the costs associated with achieving 100 percent
10 renewable energy electric supply. And it wasn't just
11 from a power delivery point of view. It has to deal
12 with the impact to local jobs and the economic change,
13 the benefits to the environment, and residential health.
14 And then, environmental justice and how it was going to
15 impact the communities.

16 The next slide. There were 9 scenarios studied
17 by NREL. They were based on moderate, high and stress.
18 You can see them in front of you. I won't get into the
19 details. You can go to the nrel.gov/la100 to see the
20 LA100 study and go through the details with that.

21 But what I really wanted to do was highlight
22 something that came out of that. So, under all
23 scenarios that were studied there was some commonality
24 between them.

25 The next slide. So, across all scenarios there

1 was the requirement for electrical efficiency, customers
2 with top solar renewable energy, in-basin storage, and
3 distribution and transmission upgrades. What was also
4 required was that we did need combustion turbines within
5 the L.A. City Basin. The way our power system's
6 configured, there's just not the capability to create a
7 transmission system and bring all that energy in. You
8 do have to have in-basin generation.

9 So, what all the studies called for was some
10 type of new in-basin generation, which would be natural
11 gas today, but would transition to either biofuel or
12 hydrogen. It was -- in the studies, it's not
13 specifically called out, but as we looked at what's
14 happening at Intermountain we were able to use that
15 technology and look for a pathway to 100 percent
16 hydrogen.

17 The next slide. And the last thing I want to
18 talk about is we've been working with the Green Hydrogen
19 Coalition and their HyDeal North America goal of \$1.50
20 per kilogram delivery system.

21 The next slide. So, we've committed as an off-
22 taker to participate in the HyDeal L.A., committed to
23 working with Green Hydrogen Coalition. You can have it
24 -- there's a talk this afternoon about this, so I won't
25 get into the details. But it is L.A.'s continued

1 commitment to this hydrogen pathway.

2 And the last thing I want to add is that out of
3 the LA100 study, and the natural gas generation that
4 we'd transition to hydrogen, we are releasing within the
5 next couple of weeks here an RFI for hydrogen sourcing
6 for the southern -- for our Southern California
7 facility.

8 So, that is all. Thank you.

9 MR. PETOUHOFF: Well, Paul, thank you. It's
10 exciting to see what's going on at LADWP and it's
11 something we can all learn from. We'll hold off on
12 Commissioner questions until the end.

13 But let me now move to Joe, from Northern
14 California Power Agency.

15 MR. LEDESMA: Thank you, Mike. And I want to
16 thank all the Commissioners for putting this workshop
17 together, and the CEC staff. This is a really good
18 conversation and I think it's timely that it's being had
19 now.

20 So, I'm Joe Ledesma. I'm with the Northern
21 California Power Agency. We're a joint action agency.
22 We represent 16 public power utilities, with over 700
23 California citizens being served by electricity.

24 We have a little over 800 megawatts of renewable
25 geothermal power plants, and hydroelectric plants, and a

1 fleet of natural gas plants.

2 The next slide. So, the discussion I'll be
3 going over is we've been exploring at NCPA our Lodi
4 Energy Center. About a year ago we had a failure on the
5 turbine and it was an opportunity for our commission and
6 our members to really be thoughtful in where they wanted
7 to go with this power plant. And the decision was made
8 to purchase a turbine from Siemens, which was capable of
9 up to 45 percent hydrogen blending by volume. And
10 that's also including the burners or the nozzles that
11 we'll be installing next year.

12 So, really, this was a really forward looking
13 decision that was really made, and it really allows this
14 300-megawatt combined cycle plant to be part of, you
15 know, the research that's being done in California, the
16 piloting, and eventually, hopefully, the transition to
17 100 percent renewable power.

18 You know, this is on -- Lodi LEC, or our Lodi
19 Energy Center is really one of the most efficient
20 combined cycle plants in the state. And so, it's got a
21 lot of -- it provides a lot of service to our members
22 and the state during a lot of these heat events. It's
23 running almost around the clock sometimes.

24 The next slide. So, really, I think you guys,
25 all the presenters and the Commission talked about

1 hydrogen. There's great opportunities for hydrogen and
2 so we need to really look at that.

3 The next slide. So, what are we seeing on the
4 ground as a generator, asset owner is we're seeing the
5 commodity or price of gas go up. Right now it's
6 currently over the \$5 mark and it's trending, it's been
7 trending around there for a while, so we're seeing gas
8 prices go up. We're really seeing the gas turbines
9 continue to play a significant role as part of the Cal-
10 ISO energy balance. It's second to the renewables and
11 it goes out past towards 2030 in the projections that
12 we're seeing.

13 And roughly, 30 to 50 percent of the natural
14 gas-fired plants make up the total supply to ensure grid
15 reliability.

16 We're also seeing, you know, retirements that
17 are coming. And we are -- we are really worried that
18 after the Diablo Canyon Power Plant and other plant
19 retirements come up that the system is really going to
20 have to lean more on these natural gas plants.

21 The next slide. So, as an asset owner, one of
22 the questions we're asking ourselves as we're looking at
23 hydrogen is, you know, we're thinking about how fast
24 will natural gas be phased out. We know that that's
25 state policy and direction, so trying to figure out what

1 that timeline looks like. And will the natural gas
2 infrastructure be repurposed for renewable gas, with
3 blending of hydrogen. And, you know, is hydrogen going
4 to be what replaces natural gas plants and what they
5 provide to the grid as far as dispatchability, storage
6 capability to really help everybody meet the carbon-free
7 goals.

8 The next slide. So, what's creating that
9 uncertainly based on those questions is, you know,
10 always as an asset owner and as our members are always
11 very diligent in trying to keep the rates down for the
12 citizens of California, as they are a public utilities,
13 is really understanding what the forward curves are
14 going to look like. That's -- you know, there's a lot
15 of uncertainty as to where the market will be from now
16 to 2045 to really make investments that you won't strand
17 going that far out.

18 You know, stranding investments in our natural
19 gas plants, we made that conscious decision to go to a
20 45 percent blending by volume at LEC. You know, that
21 was an expense that the agency made. And therefore, and
22 continued to invest. You know, there's a concern on not
23 stranding those investments.

24 And as other presenters have been talking about
25 and is really will hydrogen production and storage, you

1 know, we talk about bleeding edge and leading edge
2 emerging technologies but, you know, is it going to
3 continue to move forward and become an emerging
4 technology that becomes commercial enough at the scales
5 that are really needed.

6 The next slide. So, as far as the
7 affordability, and I was really happy to hear, to see
8 the announcement by the United States DOE where they --
9 on the First Energy Earthshot, Hydrogen Shot Program,
10 which really is targeting a \$1 per kilogram by 2030.
11 You know, that kind of lined out with Bloomberg's
12 estimate about a year ago. We've been tracking where do
13 we think hydrogen, and when will it be affordable.

14 And I think those, you know, the Bloomberg
15 assessment and now the DOE target is really signaling
16 that we could be at about a dollar per kilogram by 2030.

17 Us, NCPA, we took a crack at, you know, back-of-
18 the-envelope projection on where do we think, using very
19 conservative assumptions on the gas trends today, when
20 do we think it will hit \$11 per MMBtu, which is we're
21 seeing that as equivalent to the \$1 per kilogram. So,
22 when do they cross the line where hydrogen can be --
23 will be at the same cost as natural gas.

24 The next slide. So, in our graph, and I
25 apologize for how small that looks, but in the very

1 simple calculations that we did, and very conservative,
2 it really landed around that 2030 time frame. So, it
3 kind of showed us that -- it kind of demonstrated that
4 the projections that are going on, and even if you look
5 at the pressures that are going on, on the natural gas
6 systems now, and just the natural economics around it,
7 they're going to cross paths around 2030.

8 So, if you look at that as a timeline of when it
9 could be affordable and, you know, we're in 2021, the
10 conversation we're having today and then policy
11 decisions that are being made now at the state level,
12 and the national level, are really instrumental in
13 allowing asset owners to be able to do all of the
14 upfront work, and feasibility studies, and investment
15 decisions so that in the next five years decisions can
16 actually be made to build infrastructure.

17 The next slide. So, the Lodi, why did we really
18 look at the Lodi Energy Center? I mean, we -- and I use
19 this term shovel ready, that's used for really more
20 construction, but the power plant is shovel ready
21 meaning, you know, it's in a prime location to be used
22 as part of piloting, or R&D to answer questions on
23 hydrogen and really allow us to move forward.

24 The plant is right -- is in Lodi, California.
25 It's adjacent to Highway 5. It's got all the needed

1 resources, it's right next to Lodi's water, wastewater
2 treatment plant that already supplies recycled water to
3 the power plant. So, we're next to water that's
4 available for the electrolysis. You know, we are
5 connected to the grid to take advantage of renewable
6 energy. And the footprint is there to put an
7 electrolyzer plant there, along with the power plant.

8 The next slide, please. And so, we did a
9 feasibility study with Black & Veatch that was completed
10 in February. And they did a design with a 155-megawatt
11 electrolyzer plant and, you know, with some onsite water
12 that we have available already. They looked at
13 renewable, curtailed renewable, or low cost energy,
14 green energy already available. And really, they came
15 out with the -- and the objective of this study was
16 really to see if we could size a hydrogen production
17 plant and achieve cost parity with the current
18 operations running natural gas.

19 The next slide. The conclusion was that it was
20 technically feasible, all the resources were there.
21 That it also really told us what the drivers were of
22 making it feasible to reach cost parity. And of course,
23 capital costs are a big component of that. And really,
24 making sure that we could take advantage of some of the
25 attributes of reducing our carbon emissions out of that

1 plant. And also, being able to -- you know, they used
2 the term REC revenue sharing, but really it's saying
3 that we need to figure out a way to get credit for green
4 -- you know, producing green hydrogen and then burning
5 carbon-free electricity out of that.

6 The next slide. So, as far as our approach, and
7 I won't go through it in detail, but really the top
8 lines are at the power plant. We really need to look at
9 what do we need to do at the power plant. We've done
10 that. We need to look at, you know, the storage
11 component of hydrogen there and I think we've been
12 putting in some applications with the DOE for funding
13 there, so we could do some of that research and
14 development.

15 But ultimately, it's going to depend on the
16 industry and state policy and direction, really, to make
17 sure there's enough storage and transportation to make
18 it feasible at scale.

19 The last slide. And so, as an early adopter I
20 think state policy to phase out natural gas has to
21 include a transition plan for hydrogen to really allow
22 the asset owners to invest money. Also, the
23 coordination from the energy market and the gas rate
24 structures is also important so that the natural gas
25 electric generators that are on the system now don't get

1 burdened with, you know, unfairly all cost on them, that
2 then gets translated back into the electric grid, or
3 makes it not feasible to repurpose those power plants.

4 And then also, there should be incentives to
5 repower and repurpose, you know, to really avoid
6 additional costs to the ratepayers by paying to
7 decommission these plants that have already been put in
8 locations that are helpful to the grid for reliability
9 purpose, and have a lot of investment built in. You
10 know, there should be incentives to repurpose those,
11 rather than adding additional cost.

12 And I went fairly quickly. I apologize, but I
13 know time is important right now. So, pass it back to
14 you, Mike.

15 MR. PETOUHOFF: Well, Joel, thank you. I think
16 the Northern California Power Agency's really taking an
17 opportunity to do something very innovative with
18 repowering a power plant. So, that's really exciting to
19 hear what you guys are doing. Thank you very much.

20 MR. LEDESMA: Yeah, and one last point, and it's
21 in California.

22 MR. PETOUHOFF: And it's in California.

23 MR. LEDESMA: That's a really important point.
24 Thank you.

25 MR. PETOUHOFF: Thank you.

1 Well, speaking of being in California, our next
2 speaker is also from California, Arne Jacobson up from
3 Humboldt State University. Really interested to hear
4 what you have to say. And Arne, as we've talked before,
5 especially interested to see your generation profiles
6 comparing solar, and onshore wind, and offshore wind,
7 and see how they complement each other. But interested
8 in your whole thing, but especially that. So, take it
9 away from there.

10 MR. JACOBSON: Great. Thank you very much,
11 Mike. And thanks to all the Commissioners and everyone
12 here today for the opportunity to present.

13 I'm Arne Jacobson. I'm Director of the Schatz
14 Energy Research Center at Humboldt State University.

15 And the materials that I'll focus on today
16 really look at offshore wind with an emphasis on
17 potential for offshore wind development on California's
18 North Coast.

19 I won't focus as much on hydrogen dimensions or
20 hydrogen generation opportunities associated with that
21 because our work hasn't emphasized that so far.
22 Although, I will mention some work we're doing briefly
23 in relation to that, just in the end.

24 The next slide. So, California has a
25 significant offshore wind resource, which I think has

1 great potential to contribute substantially to
2 California's clean energy and climate mitigation goals.

3 An NREL study published last year indicated
4 estimated potential for installing wind farms with
5 capacity up to just over 20 gigawatts across five areas.
6 Offshore along the north and central coasts of
7 California, with three of those areas and a substantial
8 amount of that capacity being in far northwestern
9 California.

10 The next slide. More immediately, the Bureau of
11 Ocean Energy Management has begun the process of moving
12 forward in relationship to two of those areas. One is
13 the Humboldt call area, which is 20 to 30 miles offshore
14 from Humboldt Bay. And has an estimated -- has an area
15 that could be compatible with installing an estimated
16 1.6 gigawatts of capacity.

17 There's also an area that's being referred to as
18 the Morro Bay "399" call area, which is the 399 refers
19 to the area in square miles. And it has an estimated
20 capacity for installation of up to 3 gigawatts.

21 The process is now moving forward in
22 relationship to those two areas. And BOEM has indicated
23 that they anticipate holding a lease auction for those
24 two areas in 2022.

25 The next slide. Here, at the Schatz Energy

1 Research Center, we've been involved in research over
2 the last several years focused on the feasibility of
3 offshore wind on California's North Coast.

4 Here, I'm indicating project funders, as well as
5 some of our key partners. And much of what I'll present
6 over the coming slides draws from that prior work.

7 The next slide. So, the wind resource, the
8 offshore wind resource in far Northern California, and
9 also in Southern Oregon is perhaps the best in the
10 continental United States. And the Humboldt call area
11 is situated squarely in that area.

12 In the context of the studies that we conducted,
13 we focused on three different sizes of potential wind
14 development, just to get a sense of the role that scale
15 plays. In that process we looked at a 48-megawatt, 144-
16 megawatt, and 1.836-gigawatt scenarios, all within the
17 Humboldt call area.

18 The next slide. In terms of the generation
19 capacity, these numbers are based on the 144-megawatt
20 case, but would be very similar for the other cases. We
21 estimated a 52 percent net capacity factor for a wind
22 farm in that area. That compares quite favorably to
23 what's typical for land-based wind and solar PV, with
24 land-based wind commonly having capacity factors on the
25 order of 30 to 40 percent and solar PV on the order of

1 15 to 30 percent.

2 The next slide. The average diurnal profile of
3 offshore wind is also quite favorable and indicates a
4 potential to complement some of the other renewable
5 energy sources.

6 This slide shows offshore wind in the blue line,
7 which is consistent with that roughly 52 percent
8 capacity factor, and it shows what the average profile
9 is over the course of the day. Of course, on average
10 much more steady than solar generation and also
11 significantly better capacity factor than the average
12 California land-based wind.

13 The next slide. However, before we get too
14 excited, I think it's important to note that those
15 values presented on the last slide were average values
16 over the course of the year. There are of course --
17 there is, of course, considerable variability in the
18 generation profile from day to day and week to week.
19 So, there will be periods of low to almost no generation
20 and might extend for days at a time. Periods of very
21 variable generation, and periods of high generation
22 where the wind farm is essentially operating at or near
23 its maximum capacity for days on end.

24 In our simulation annually full power occurs 42
25 percent of the time and zero power occurs 16 percent of

1 the time. And that -- those numbers are quite favorable
2 compared to what you would expect from land-based wind
3 generation.

4 The next slide. Moving to specifics and
5 thinking about offshore wind development on California's
6 North Coast, and in the Humboldt call area, transmission
7 -- existing transmission capacity is quite limited in
8 far Northern California. And that, at least initially,
9 could limit the scale of offshore wind development that
10 may be possible.

11 The next slide. In terms of the current
12 existing transmission infrastructure, the maximum import
13 and export capacity is on the order of 70 to 75
14 megawatts. Our projected load for the region is on the
15 order of 100 megawatts. So, fairly small load and
16 limited transmission capacity. All of that affects the
17 scale of development that could be possible, at least
18 initially in the absence of some fairly significant
19 investments in transmission capacity.

20 Our analysis didn't focus on the Central Coast,
21 but I'll just note that the transmission capacity
22 limitations are unlikely to be a significant factor in
23 the same way on the Central Coast. And so, it may be
24 possible to develop up to perhaps the 3 gigawatt scale
25 working with existing transmission capacity. Again,

1 that's not the result of our studies, but that's my
2 understanding.

3 The next slide. So, we're currently, in
4 relationship to the Humboldt call area, with funding
5 from BOEM, we're conducting a study to look at
6 transmission and interconnection alternatives for small
7 commercial, on the order of 50- to 500-megawatt offshore
8 wind farm development in the Humboldt call area.
9 Working together with some partners, including Quanta
10 Technology and NREL, the preliminary results of that
11 work indicate that you could install something on the
12 order of 140 to 170 megawatts, or a project of that
13 scale without transmission upgrades if interconnection
14 were to occur on an energy-only basis.

15 And there would be some curtailment in that
16 context, perhaps on the order of -- occurring on the
17 order of 4 to 6 percent of the time with that varying
18 with the size of the project.

19 The results are sensitive to assumptions about
20 the projected regional load and local generation from
21 other sources. And we are doing this for a 2030 study
22 year.

23 And in addition to looking at transmission-
24 related issues, we'll conduct some preliminary analysis
25 related to the possibility of coupling either battery

1 storage or hydrogen generation with offshore wind at
2 that small commercial scale. We haven't completed that
3 analysis, yet, and we're expecting to have results
4 toward the end of that year.

5 One thing I will note is that the far Northern
6 California is fairly isolated from a grid perspective
7 and it's also fairly isolated in other ways. And so,
8 hydrogen transportation, if there were significant
9 hydrogen generation, transportation of hydrogen out of
10 the region would also be something that would have to be
11 thought about.

12 And that's a brief summary of the work that I
13 wanted to present.

14 The next slide. My contact area information is
15 here, and also I'll just indicate the website there at
16 the bottom or near the bottom of the page indicates a
17 link where studies that we've produced in this area are
18 available.

19 And with that, I will pass things back over to
20 Mike.

21 MR. PETOUHOFF: Arne, thank you so much. It's
22 really exciting what you're doing at the Humboldt State
23 University. I think the offshore wind may be a little
24 bit of time for it to come to fruition, but we're
25 excited to see that happen and see some other things

1 happening in the interim that will lead up to that. So,
2 thank you very much.

3 And Arne, we're hoping that you, as well as Joel
4 and Paul can stay. We have one more recorded
5 presentation and then we'll be having some -- then we'll
6 be able to have Commissioner questions and some public
7 questions. So, even though we're running a little bit
8 late, we're hoping you can stay with us for that Q&A.

9 MR. JACOBSON: I can do that.

10 MR. PETOUHOFF: All right, great, great.

11 With that, we'll now go to our presenter from
12 Denmark, who has been waiting patiently in an electronic
13 storage recorded format. Nick Jensen, who's the Advisor
14 for the Center for Global Cooperation.

15 And I think our IEPR staff will queue up his
16 presentation and then we'll go to general questions
17 after that.

18 MR. JENSEN: Good morning everyone and thanks
19 for having me. My name is Nick Jensen and I'm an
20 Advisor in the Center for Global Cooperation at Danish
21 Energy Agency.

22 I apologize for not being able to be able to
23 join you all live but, unfortunately, I have some other
24 commitments. However, I've tried to prepare a brief,
25 about a 10-minute presentation that is going to focus on

1 Denmark's target of climate neutrality by 2050, and the
2 role of Power-to-X and the Energy Island.

3 If you have any questions after the
4 presentation, my contact information will be at the last
5 slide and you are more than welcome to reach out.

6 So, last year, 2020, Denmark passed the Climate
7 Act with broad political support. It consists of two
8 ambitious targets. The first one reducing emissions by
9 70 percent compared to 1990 by 2030. And the second one
10 of being climate neutral by 2050. Both of them passed
11 by law and thereby are legally binding.

12 Also, as part of this climate action strategy of
13 the Climate Act, Denmark has a name or wants to be the
14 front-runner and create opportunities for Danish
15 companies in the renewables sector.

16 If you look at this graph, it shows the expected
17 emissions by sector in 2030. These are the areas where
18 we need to reduce emissions in order to achieve our 2050
19 target. And as you can see, especially transport and
20 agriculture are the two largest emitters in 2030, with a
21 combined total of 57 percent of the emissions.

22 They're also two sectors that are difficult to
23 reduce, at least by -- sorry, at least by direct
24 electrification and that's why indirect is going to play
25 a significant role on the longer term.

1 But if we look, start by looking -- if we start
2 by looking at how we're approaching it in Denmark, this
3 commercialization shows you have the direct
4 electrification and the indirect electrification. If
5 you look short term, from a direct electrification we
6 have already done a lot. There are market-ready
7 technologies that are ready to contribute, such as heat
8 pumps and electric vehicles.

9 But looking longer term, on the direct
10 electrification we need to be able to scale up and
11 mature new technologies and existing technologies, and
12 we also need to be able to build out the infrastructure
13 to support this.

14 Looking longer term, the indirect
15 electrification is going to be more important. So, the
16 longer term we look, the more important it's going to
17 be, but at the same time it's much more immature right
18 now and so technology development is an important part
19 of it.

20 This is where the Power-to-X in green hydrogen
21 is, and it's where there are solutions that we don't
22 know of yet that is going to help us get to the 2050
23 target.

24 So, as we look at Power-to-X, Power-to-X is the
25 conversion of electricity to gases and fuels via

1 electrolyzers of water. So, you have the water
2 electrolyzers and you get -- and you can get different
3 outputs. So, using it directly you have hydrogen, which
4 can be used for refineries. It can be used for heavy
5 transport using fuel cells. And you can actually export
6 it.

7 If you add air or nitrogen gas, you get the
8 synthesis for ammonia. Ammonia can be used for the fuel
9 for transports for shipping, one of the big emitters
10 that I mentioned earlier, in 2030. And likewise, it can
11 be used for green fertilizers, which was also one of the
12 significant emitters by 2030.

13 What is also an interesting option looking at is
14 if you do the synthesis with carbon and make
15 hydrocarbon, either as gas or liquid. With CO₂, you can
16 actually combine the Power-to-X process and the CCS or
17 CCUS technologies. You can have some carbon capture and
18 actually use it in the synthesis or together with Power-
19 to-X, creating hydrocarbons that can be used for
20 methanol jet fuel chemical products, et cetera.

21 So, really, Power-to-X supports the indirect
22 electrification of hard-to-abate sectors heavily relying
23 on fossil fuels. Carriers such as coal, natural gas and
24 oil. And it really supports the heavy emitter sectors
25 that I mentioned earlier, so agriculture and transport

1 that are sectors that traditionally have relied a lot on
2 the fossil fuel carriers.

3 However, I mean with Power-to-X it's also
4 important -- you know, Power-to-X is only really
5 relevant if the first process, the first start of the
6 process is renewables. And that's where the Energy
7 Islands come into play.

8 So, the Energy Islands was decided in June last
9 year, again with broad political support. I believe
10 that 9 out of the 11 of the parties in parliament
11 support it.

12 The islands will consist -- it consists of two
13 islands. You'll have an artificial North Sea island in
14 this area. It will, first phase, be a 3-gigawatt
15 project that can be expanded to 10 gigawatts. And then,
16 the second island will be in the Baltic Sea, utilizing
17 the existing Island of Bornholm as a physical hub, which
18 can facilitate 2 gigawatts.

19 So, the islands combined will have greatest of
20 12 gigawatts in service power plants, gathering and
21 collecting green electricity from the surrounding
22 offshore wind farm. And the connection is to connect
23 the energy hub to Denmark and to the neighboring
24 countries and contribute to large scale of the green
25 transition in Denmark and the wider Europe, as well.

1 And this especially applies to the North Sea island.
2 The Power-to-X part of the island where you can
3 actually, again, not only to Denmark but also to the
4 wider Europe.

5 For the Baltic Sea Island of Bornholm, it will
6 be located -- the turbines will be located 20
7 kilometers, which is 12 miles south, southwest, which is
8 down here, of Bornholm. And for the North Sea, the
9 artificial island will be located at least 80
10 kilometers, about 50 miles off the coast of Denmark.
11 And also, once fully built out with the 10 gigawatts and
12 it will be the largest construction in the history of
13 Denmark, with the total cost around \$210 billion Danish
14 Kroner, which is equivalent to approximately \$34 billion
15 U.S. dollars.

16 So, power industry is going to be really
17 important in this equation, both in terms of the energy
18 islands, but also in terms of the Power-to-X and
19 developing these new solutions.

20 For the energy islands, the government is going
21 to have a majority ownership, as it is considered
22 critical infrastructure. However, private industry is
23 going to be crucial for the development of these
24 islands, both in terms of cost effectiveness,
25 innovation, and flexible. Private industry can have a

1 stake of up to 49.9 percent of the islands.

2 For the Power-to-X, I wanted to just highlight
3 just examples of where we're already seeing private
4 industry getting involved. CIP, Copenhagen
5 Infrastructures Partners are currently planning Europe's
6 largest Power-to-X facility in the City of Esbjerg on
7 the West Coast of Denmark. It will be able to deliver
8 green fertilizer and fuel starting in 2026. Green fuel
9 -- sorry, green fertilizer to support the agriculture
10 industry and, of course, the green fuel to support the
11 shipping and transportation industry. Again, going back
12 to the slide I showed earlier, two of the heavy hitters
13 in terms of emissions, in 2030.

14 And in addition, any excess heat can provide
15 heating to about a third of the local households of
16 Esbjerg and the surrounding area. And Esbjerg is, I
17 think, I believe it's the 7th largest city in Denmark.

18 Another project is the Orsted, or another,
19 Orsted, which is working on two projects. One is the
20 H2RES project, where they will take two offshore wind
21 turbines just outside of Copenhagen and convert the
22 electricity to green hydrogen that can be used in buses
23 and trucks.

24 In the Copenhagen area on the Island of Zealand,
25 which is where Copenhagen is located and the third

1 project is a three-phase project that ultimately, by
2 2030, can have a capacity of 1.3 gigawatts.

3 Lastly, just briefly, I do want to mention some
4 Danish involvement in projects going on in Australia,
5 where the concept is similar, but at a much greater
6 scale. So, they're looking to develop, I think for one
7 of the projects it's 26 gigawatts of renewables, so
8 onshore wind and solar. And then have the Power-to-X
9 facility to convert this electricity into hydrogen that
10 can be transported to markets in Asia.

11 And the reason for mentioning these are they're
12 examples, I think they're good examples of how already
13 now, despite being such an immature technology, we're
14 seeing private industry investing and being part of
15 developing it, and driving the development of these new,
16 innovative solutions.

17 And so, not only our Power-to-X, you know, we're
18 really seeing the sector coupling, but you're also
19 seeing the involvement of private/public partnerships.
20 And I think, you know, that's the way to go. At least
21 that's what we're planning on in Denmark.

22 So, with that being said I just want to thank
23 you for your time. Obviously, it's not possible to
24 cover everything in 12 minutes, but I hope I've given
25 some kind of introduction to what's being considered and

1 being developed in Denmark.

2 Again, if you have any questions, feel free to
3 reach out and you can either do that by email or phone.
4 And if I'm not able to answer your questions, I'll make
5 sure that it's passed on to some of our experts on
6 either the energy islands or the Power-to-X.

7 So, thank you for listening and enjoy the rest
8 of your program. Thank you.

9 MR. PETOUHOFF: Okay, that concludes our panel.
10 I'll turn it over to Stephanie and Heather for what's
11 next in terms of our questions.

12 MS. RAITT: I had it turned on mute here. So,
13 thank you for that.

14 So, Commissioner McAllister, we are very short
15 on time, but if you have a couple burning questions for
16 the remaining panelists, feel free.

17 COMMISSIONER MCALLISTER: I do not want to ask
18 about combustion, if that's what you're asking. No
19 burning questions of that nature. Sorry.

20 Commissioner Douglas, do you have any questions
21 you wanted to ask?

22 COMMISSIONER DOUGLAS: I had a couple quick
23 questions, if I could. And thank you because I also
24 have a hard stop at 12:30.

25 So, first maybe for Paul, first of all thank you

1 for participating and congratulations on, you know,
2 LADWP's hard work to look at pathways to achieve the
3 city's leadership climate goals.

4 So, you know, one question I had was just the
5 process. What's involved in going from the 30 percent
6 hydrogen to 100 percent with the Mitsubishi turbines
7 that you're looking at? Is it a big upgrade? Is it a
8 -- you know, how significant is that transition? I was
9 just kind of curious about that.

10 MR. SCHULTZ: Okay, so there's a couple of
11 things. One is the technology today for combustion
12 turbines, for combined cycles is set at 30 percent. So,
13 looking at a greater percentage would be difficult
14 today.

15 Mitsubishi has shared with us their direction.
16 And we think by 2024, 2025 the technology, which really
17 is just the combustor technology that we're really
18 focused on will make sure or be ready for testing at
19 some greater percentage, you know, 70 to 100 percent.

20 It's not clear that the technology is going to
21 leap up straight to 100 percent. It might be
22 iterations.

23 COMMISSIONER DOUGLAS: Uh-hum.

24 MR. SCHULTZ: The other technology is, you know,
25 there's a lot of talk about air pollutants other than

1 GHG. This being a new build, we're taking that into
2 account, oversizing some of the components, the HRSGs --
3 so that we can place some additional catalytic
4 converters, ammonia processing, to keep NOx emissions as
5 low as possible.

6 Again, technology not completely developed and
7 we don't know based on the technology of the combustor
8 side how that would roll into the rest of the emissions
9 projects. So, we're waiting for that.

10 And then, the other part that is difficult is
11 the build out of salt caverns is not a one-year project.
12 It's a three-, four-year project. So, you know, as we
13 start to look one, maybe two by 2025, 2032 we may be
14 able to build four or five additional ones. But you
15 can't go as quickly as you'd like to just because of the
16 amount of construction that needs to be done.

17 COMMISSIONER DOUGLAS: Uh-huh, that makes sense.
18 Well, it's got obviously huge potential in the sense
19 that there is just so much in the way of diverse
20 renewable energy resources in that region that could
21 produce, could be stored, and could be delivered when
22 needed. So, you know, I'm really interested in learning
23 about your progress on this project and on these
24 efforts, and so thank you.

25 If I could, Commissioner McAllister, let me ask

1 maybe one or two more questions before I disappear,
2 which is just a question for Joel as well.

3 COMMISSIONER MCALLISTER: Go ahead.

4 COMMISSIONER DOUGLAS: So, you know, Joel, I
5 definitely appreciate the points you made about how the
6 efforts to invest in the work at Lodi, for example, has
7 to take place within a policy context that gives you
8 some certainty about the pathway, and the policy
9 framework.

10 And as we said at the beginning of this
11 workshop, you know, this is very much in the context of
12 the natural gas transition and what are some pathways
13 that achieve important goals, or can supplement, or can
14 substitute for fossil gas.

15 And so, I was just wondering if you could speak
16 a bit to what more you would be looking for in this area
17 or what your thoughts are in terms of that kind of
18 policy direction.

19 MR. LEDESMA: Well, I think on the -- you know,
20 I'll step back and maybe talk a little bit about the
21 research and development funding that your CEC has
22 implemented. That's a really good, I think component of
23 it because we really need to research, and do a lot more
24 testing and research in these areas, as Paul was
25 mentioning.

1 Siemens is very committed, also, to going to 100
2 percent, but there's a lot of work to get there. So,
3 it's a long transition. And ours, you know, they're
4 committing this turbine to 45 percent.

5 But I think at the policy level it's really
6 about making sure hydrogen is included in, for example,
7 the Joint Agency SB 100 Resource Analysis. That
8 hydrogen, it's more specific to include hydrogen.

9 COMMISSIONER DOUGLAS: Uh-hum.

10 MR. LEDESMA: And also that there are
11 discussions on how are we going to create incentives for
12 asset owners, like ourselves, to not abandon these
13 assets and really focus on the transition. Because it
14 is a long haul to transition to invest now,
15 incrementally and so they can get to the 100 percent.

16 And some of those things that we learned on the
17 feasibility study that they say the gas, you know, the
18 REC program that even ARB has, you know, some way that
19 there are credits given to generators as incentives.
20 You know, because the way the market is set up right
21 now, you only get it at the megawatt production level
22 which would be the solar, not at the hydrogen
23 production.

24 So, then how do you carry that forward so that
25 the RECS can be either shared, or double counting so

1 that there's more? So, it's these type of incentives
2 and gas -- and hydrogen, I mean, being part of it.

3 You know, on the natural gas system, too, you
4 know, the CPUC has just started the gas rate case. And
5 even that, you know, it's really having the transition
6 plan of the natural gas system be inclusive of hydrogen,
7 not keep them silo discussions and keep them separated.

8 I think all these things will lead to policy
9 decisions that will give asset owners confidence.
10 Because there's never a guarantee, right, but to give
11 confidence that the market is moving in a direction that
12 will be inclusive of hydrogen and, therefore, they
13 should start investing now.

14 I don't know if that answered -- I hope that
15 answered some of your questions, Commissioner but --

16 COMMISSIONER DOUGLAS: Oh, it was a very helpful
17 answer.

18 I'm going to jump off, I'm afraid, but I think
19 Commissioner McAllister and maybe others have some
20 additional questions.

21 Thank you all, and thank you as well, Arne.

22 COMMISSIONER MCALLISTER: Thank you,
23 Commissioner Douglas, very helpful.

24 So, I think my questions had to do more with the
25 market confidence and investor kind of perspective and I

1 think you kind of answered those just now, Joel. So,
2 thank you for that.

3 So, we're a little bit over time, we're actually
4 at 12:30. I want to really just thank all of our
5 speakers. I mean this was a really great, everyone
6 complemented each other well. I think Nick and Ulrich
7 from the European perspective.

8 And I'll say I was in Copenhagen for the Clean
9 Energy Ministerial a few years back and got a firsthand
10 view of how committed Denmark is to this. And just wind
11 turbines right there in Copenhagen, and all different
12 kinds of power plants with bioenergy all right there.

13 And district heating is something that I think
14 Ulrich suggested we can talk about, but that's something
15 that I think is an interesting sort of difference with
16 California and Europe.

17 But then the U.S. Department of Energy,
18 obviously, with Sunita. And then, our two speakers
19 about actual projects that are with us today and have
20 really compelling value propositions for learning going
21 forward, you know, with the NCPA. And then, all
22 assisted by the research and policy work that Arne and
23 his team are doing. So, everyone great job, thank you
24 for that. And for staff for putting that panel
25 together.

1 I did want to just perhaps create, jimmy open a
2 little bit of time for Zoom Q&A. We're at, we're a
3 little bit over time, but I think it's the right thing
4 to do to pass it over to Heather for at last a couple of
5 questions from the Zoom Q&A.

6 MS. RAITT: Okay. Great, Commissioner. So,
7 Jennifer Campagna is here to moderate a couple of
8 questions from the Zoom Q&A. So, go ahead, Jennifer.

9 MS. CAMPAGNA: Okay great. Thank you, Heather.
10 So, the first question I have here is from John
11 Hamilton. And I believe this is geared towards Joel of
12 NCPA. The question is: Are there freshwater supply
13 considerations for siting hydrogen electrolyzers in the
14 Central Valley, particularly given the current drought
15 we're in?

16 MR. LEDESMA: Yeah, so our feasibility study or
17 the project, the conceptual project we're looking at
18 does not intend or have any backs on any freshwater or
19 drinking water. We're merely using available recycled
20 nonpotable water.

21 MS. CAMPAGNA: Okay, thank you.

22 So, okay, one other question we have is from
23 Karin Sung. And this is geared towards LADWP.

24 Regarding the LADWP IPP Renewable Project, what
25 is the reason there is a plan to blend 30 percent if

1 that only decreases CO2 emissions by about 10 percent?

2 Second question, why not just jump to 100
3 percent? Further, why is combustion the primary
4 technology for electric gen if fuel cells are
5 significantly more efficient?

6 MR. SCHULTZ: So, I think with Commissioner
7 Douglas's question kind of answered the first few
8 questions. You know, 30 percent is where the technology
9 is today. Our constituents, ratepayers have requested
10 us to move aggressively towards 100 percent, but it's
11 kind of waiting for the technology. It's also waiting
12 for the technology around electrolysis to mature so that
13 it starts bringing down those costs.

14 You know, as to why we're just doing 30 percent
15 and not waiting until 100 percent, you know, these are
16 learning experiences. We need to take these steps. We
17 need to put these projects in place to, you know, create
18 maturity in the market so that we're committed to not
19 only at Intermountain, but at the other locations that
20 DWP needs this generation.

21 And then the question about why not use fuel
22 cells, I thought I tried to respond to that one earlier
23 in the presentation. It's always kind of difficult.
24 But high voltage DC line requires, based on the physics,
25 a rotating mass. So, we look at studies looking at

1 putting batteries there, synchronous condensers, but
2 without a dispatchable rotating mass that high voltage
3 DC line in Utah will not operate properly and will cause
4 liability issues in that area. So, we do need a
5 dispatchable resource to run that HVDC line
6 appropriately.

7 MS. CAMPAGNA: Okay, thank you.

8 I don't know if we have time for any others or
9 are we moving to public comment? Can you advise,
10 Heather?

11 MS. RAITT: Commissioner, if it's okay with you,
12 I suggest we move to public comment.

13 COMMISSIONER MCALLISTER: Yeah, I think we
14 should move to public comment. That was a very
15 stimulating panel, so thank you all very, very much.
16 Really appreciate the need for multiple pathways, you
17 know, that is alluding to, you know, and then not
18 necessarily pick the final technologies and cultivate
19 all the solutions so that we can get that percentage up
20 on the combustion side, and be able to market the
21 electrolyzers alongside and see what happens.

22 So, thank you. Go ahead with public comment,
23 Heather and Jennifer, please.

24 MS. RAITT: Okay, great. So, we have Dorothy
25 Murimi from the Public Advisor's Office to help with

1 public comment. And since it is already after the 12:30
2 time when we expected to come off, I'm suggesting that
3 we move to a 1.5-minute per speaker for public comment,
4 unfortunately.

5 COMMISSIONER MCALLISTER: Perfect.

6 MS. RAITT: Go ahead, Dorothy. Thanks.

7 MS. MURIMI: Thank you, Heather.

8 So, just with the instructions. One person per
9 organization may comments and comments are limited to
10 one and a half minutes per speaker. If you are using
11 the Zoom platform, raise your hand. And if you're on
12 the phone, press *9. That will raise your hand and *6
13 will unmute on your end and we'll unmute you on our end.

14 Let's see, I'll start with folks on Zoom. I see
15 Yuri Freedman. Yuri, you're able to speak, go ahead and
16 unmute. And apologies if I said your name wrong.
17 Again, that's Yuri Freedman.

18 MR. FREEDMAN: No, that's perfectly fine. Can
19 you hear me now?

20 MS. MURIMI: Yes, we can hear you.

21 MR. FREEDMAN: Excellent, thank you. So, first
22 I'd like to thank all the panelists for their exciting
23 and informative presentations.

24 And just to recap, as we observed in these
25 presentations, clean hydrogen by now enters the

1 mainstream of decarbonization and enjoys to momentum.
2 More than 30 countries developed national hydrogen
3 roadmaps. And in Europe we see that the work is
4 underway in Germany and Denmark, as we saw today, but
5 also in France, Italy, and the Netherlands, and many
6 other countries.

7 I think another arm of that of course is that
8 the European hydrogen backbone is being developed and
9 the milestone has been reached earlier this year. We
10 observed that in Asia, Japan just took hydrogen to
11 (indiscernible) -- and China defined hydrogen as one of
12 the six industries of the future in their five-year
13 plan. And Australia. So, it truly is a global momentum
14 in hydrogen.

15 But what I wanted to mention is that many
16 countries on this list are exploring hydrogen
17 opportunities in production, but also transportation,
18 distribution, and storage. And many of them are looking
19 at using existing infrastructure. I think it's been
20 address by Herr Benterbusch, but also from Paul at
21 LADWP, and by Joel from NCPA. It is a really important
22 topic because delivery of hydrogen is every bit as
23 important as production.

24 We at SoCalGas are actively involved in
25 collaborations globally, working with the companies in

1 France, in Canada, in Australia and others, as well as
2 being involved in HyDeal collaboration efforts. And we
3 believe that the potential for hydrogen blending and
4 overall use of the gas grid is really also a key
5 priority and we see --

6 MS. MURIMI: Yuri, apologies, your --

7 MR. FREEDMAN: -- pilots as critical to
8 accomplishing our standards. Thank you for the
9 opportunity.

10 MS. MURIMI: Thank you, Yuri.

11 Wini Chen, and apologies if I've misstated your
12 name. Go ahead and unmute on your end and you can give
13 your comments. That's Wini Chen. We'll come back to
14 you, Wini.

15 Let's go on to Bruce Webster. That's Bruce
16 Webster. You may give your comment now. Unmute on your
17 end.

18 MR. WEBSTER: Yes, this is Bruce Webster. I'm
19 with Pac Scientific. We're in Marin County and we have
20 an SBIR with the United States Navy to a couple of
21 hydrogen electrolyzers and use their waste heat. Power
22 thermal distillation instead of the traditional reverse
23 osmosis. This gives a better price point production.

24 And in a sense we also then become part of the
25 balance of the plant of the electrolyzer. That is we

1 cool their heat and return also the water to be -- so if
2 I'm saving water, whether it's Bay water, or
3 agricultural water, or sea water we give back the water
4 for the electrolyzer without any pretreatment.

5 And we would like to mention this that basically
6 when you look at not just energy, but water, especially
7 with the California drought, this is something that we'd
8 be interested in finding partners and collaborate with
9 this community. Thank you.

10 MS. MIRIMI: Thank you, Bruce.

11 We'll move on to William Zobel. William Zobel.

12 MR. ZOBEL: Good afternoon. Can everyone hear
13 me okay?

14 MS. MIRIMI: Yes, we can hear you. Thank you,
15 William.

16 MR. ZOBEL: Okay, thank you. I'll be brief.
17 There's an awful lot of cover and I really appreciated
18 listening in this morning to the panel led by
19 Commissioner McAllister. He always does a great job.

20 I'll be very brief in our remarks today. I
21 represent the California Energy Business Council as
22 their Executive Director. We represent over 120
23 companies involved in the commercialization of hydrogen
24 and fuel cell technology.

25 I was very glad to see today that there is some

1 emphasis on the cross-sectoral benefits of hydrogen. I
2 think that's very important and I'm glad to see that
3 that's part of what's being evaluated here.

4 Taking that to the next step, integrating
5 hydrogen into the various regulatory programs to achieve
6 the state's goals is going to be important.

7 The current focus has been on a color wheel, or
8 colors of hydrogen to define where it fits and where it
9 does not. As an organization, we are promoting a carbon
10 intensity standard as opposed to the color wheels to
11 define where hydrogen fits and where it doesn't in
12 various platforms.

13 Hydrogen can be produced from a variety of
14 different renewable feedstocks and it can be produced in
15 a variety of different ways, many of which don't fit
16 well or expertly within the color wheel and need further
17 definition.

18 So, we are supporting an objective measure of
19 including hydrogen into regulatory programs that is
20 based on the carbon intensity standard, similar to
21 what's being used by the Air Resources Board today for
22 the Low Carbon Fuel Standard.

23 So, we'll have more conversations with the
24 Commission, both the Energy Commission and the Public
25 Utilities Commissioner, and the Air Resources Board

1 about that. We will defer that for another time. And
2 appreciate the opportunity to make those comments here
3 and participating in the remainder of today's workshop.
4 Thank you.

5 MS. MIRIMI: Thank you, William.

6 We'll try Wini Chen again. Wini Chen, you can
7 unmute on your end and give your comments.

8 Hearing nothing, let's move on to David
9 Blekhman. And apologies if I've misstated your name.

10 Please state your name and give your comments.

11 MR. BLEKHMEN: Hello, my name is David Blekhman.
12 I'm a faculty at Cal State LA and a Technical Director
13 for the Hydrogen Discharge and Fueling Facility.

14 I also had an opportunity to work in Sweden and
15 Scandinavia in 2019 and 2020, and actively participate
16 in European or observing European projects that are
17 being developed.

18 I am really encouraged by the comments
19 Commissioner McAllister made this morning about building
20 economy, hydrogen economy in California. I would like
21 to encourage to continue looking at European examples
22 where hydrogen is integrated from production, delivery,
23 and distribution. Applications of hydrogen include
24 industrial applications, and also mentioned residential
25 applications.

1 So, if you look at example of Utah to L.A., and
2 burning hydrogen in the turbine can we add to that
3 pipeline transportation applications, fuel and trucks
4 or, you know, providing hydrogen to the communities
5 along that pathway.

6 So, overall I would like to encourage what we've
7 heard from our German speaker about integrated economy.
8 To create a study and create a plan that's more
9 integrative of all of the technologies that hydrogen can
10 support, and then it will create a lot of opportunities
11 for our economy and workforce development. Thank you.

12 MS. MIRIMI: Thank you, David.

13 We'll move on to V John White. V John White,
14 you're line is unmuted. You can give your comment.

15 MR. WHITE: Thank you. Thank you very much for
16 the opportunity. I appreciate, as always, the
17 thoroughness with which the Commission prepares and --
18 can you hear me?

19 MS. MIRIMI: Yes, we can hear you.

20 MR. WHITE: Okay, sorry. So, thank you for this
21 opportunity. A couple things come to mind. First of
22 all in Southern California, in particular LADWP, I think
23 one idea should be some consideration to producing
24 electrolytic hydrogen for LADWP's power plants, but also
25 making it available to the refineries to displace fossil

1 hydrogen. It's a very large industrial use of natural
2 gas in Southern California. And so, I think that's an
3 opportunity to green the refineries with green hydrogen.

4 Second, I think we need to be aware that there
5 are a lot of claims being made about green hydrogen, and
6 particularly about how green the hydrogen is. And we
7 don't have a reporting or a tracking mechanism that I'm
8 aware of, and so claims are simply being made that the
9 hydrogen is green, 100 percent renewables.

10 And we need to know because there's a lot of
11 difference particularly between steam reformation
12 hydrogen from natural gas versus electrolytic hydrogen
13 from renewable.

14 So, those are two issues that I think need some
15 consideration as we move forward. And I will have other
16 comments later in the day, but I appreciate this
17 opportunity.

18 MS. MIRIMI: Thank you, John.

19 Moving on to David Park. David Park, you may
20 unmute on your end and give your comments.

21 MR. PARK: Hi. Good afternoon. Thank you for
22 the opportunity. This is David Park with the California
23 Fuel Cell Partnership.

24 Well, first of all I want to, and we want to
25 commend the CEC Commissioners and staff for undertaking

1 such a comprehensive overview of emerging hydrogen
2 economy. The California Energy Commission is a founding
3 agency of the California Fuel Cell Partnership, which is
4 a 21-year-old organization.

5 Given the magnitude of greenhouse reduction
6 goals, we recognize the need to achieve reductions
7 across all available sectors and technologies. And this
8 is the time to accelerate all hydrogen pathways.

9 Given the head start on the light-duty hydrogen
10 fuel cell vehicle deployment and retail infrastructure,
11 we greatly urge CEC to continue to invest in those
12 markets as an example for the world.

13 And we also -- furthermore, we suggest that
14 collaboration with USDOE on a gap analysis of the
15 California hydrogen economy, with a focus on the
16 California retail marketplace, which is the first in the
17 world through DOE's Earthshot Initiative, will identify
18 opportunities for future hydrogen investment systemwide,
19 and provide potential to accelerate expansion of the
20 marketplace to the rest of the U.S. and serve as a model
21 for the world. Thank you.

22 MS. MIRIMI: Thank you, David.

23 We will try Wini Chen again. But before that,
24 let me reiterate for any individual who is calling in on
25 the phone you can dial *9 to raise your hand. And then,

1 unmute on your end by pressing *6. And I'll call on the
2 last three digits of your phone number and unmute, so
3 you can give your comments.

4 So, now we'll try Wini Chen again. Wini Chen,
5 that's W-I-N-I, Chen, C-H-E-N. You may unmute on your
6 end and give your comments.

7 Seeing no indication of commenting, I will close
8 -- and no other hands, I will close public comment at
9 this time. So, I'll hand the virtual mic back to you,
10 Commissioner McAllister.

11 MS. RAITT: Commissioner, I think you're muted.

12 COMMISSIONER MCALLISTER: Sorry, the dreaded
13 double mute.

14 So, we're over time, so I'll be very brief in
15 closing remarks. I don't think we have, actually, any
16 other Commissioners on. Le-Quyen, did you want to make
17 any closing remarks on Commissioner Gunda's behalf? And
18 perhaps he will be with us this afternoon.

19 Okay, hearing none. So, we heard a lot today, a
20 lot of stuff and essentially scratched the surface on
21 some really important topics around industry structure
22 and, certainly, the need for investment and targeted
23 investment in this sector. And the importance of not
24 only the supply and the delivery, but really the
25 importance of identifying off-takers, you know, to have

1 a robust market and having some long-term view of that
2 so that the marketplace can have some confidence that
3 this transition is actually taking place in the hydrogen
4 sector.

5 And that's really important, I think, to be able
6 to put the numbers to this and incorporate it into the
7 SB 100 scenarios, and really have the various industry
8 sectors shake hands and work together on this to help
9 make it all work.

10 So, I want to just thank all the speakers from
11 this morning.

12 There is an opportunity for written comments and
13 I would absolutely encourage everyone who would like to
14 do that, to do that. Just, you know, we can only speak
15 so much in a given amount of time and written comments
16 really do help buffer the record so that we can help
17 incorporate this topic in its full glory into the IEPR
18 document, itself, and then do our planning in our
19 division and our other divisions to really shape this
20 policy area going forward.

21 So, I think the slide there that Heather's just
22 put up on how you can e-file your comments.

23 and with that, I will just encourage everyone --
24 we're going to talk about technologies, current and
25 emerging technologies to enable the expansion of this

1 sector. We talked a little bit about that in the
2 context of the DWP, and the Lodi projects. But we'll
3 get deeper into that this afternoon. So, encourage
4 everyone to rejoin us at 2:00.

5 So, with that, I will pass it back to Heather to
6 close us out for the morning.

7 MS. RAITT: We've covered everything,
8 Commissioner. Thank you. We'll be back at 2:00.

9 COMMISSIONER MCALLISTER: All right. Lots of
10 practice. Okay thanks a lot everyone, see you at 2:00.

11 (Thereupon, the Workshop was adjourned at
12 12:52 a.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of October, 2021.




ELISE HICKS, IAPRT
CERT**2176

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of October, 2021.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520