

DOCKETED	
Docket Number:	21-IEPR-04
Project Title:	Energy Reliability
TN #:	240854
Document Title:	Transcript for 7-8-21 Joint Agency Workshop on Summer 2021 Electric and Natural Gas Reliability - Session 1
Description:	JOINT AGENCY WORKSHOP ON SUMMER 2021 ELECTRIC AND NATURAL GAS RELIABILITY, Session 1 - Hydro Resources and Drought
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/6/2021 6:56:33 PM
Docketed Date:	12/7/2021

IEPR JOINT AGENCY WORKSHOP
BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:)
)
2021 INTEGRATED ENERGY POLICY) Docket No. 21-IEPR-04
REPORT (2021 IEPR))
_____) RE: Reliability

JOINT AGENCY WORKSHOP ON
SUMMER 2021 ELECTRIC AND NATURAL GAS RELIABILITY

REMOTE ACCESS WITH ZOOM

THURSDAY, JULY 08, 2021

10: 00 A.M.

Session 1: Hydro Resources and Drought

Reported by:
Marlee Nelson

APPEARANCES

Workshop Leadership

Andrew McAllister, CEC
Siva Gunda, CEC
Karen Douglas, CEC
Patty Monahan, CEC
Marybel Batjer CPUC President
Marth Guzman Aceves, CPUC
Clifford Rechtschaffen, CPUC
Elliot Mainzer, California ISO, President and CEO

Staff Present:

Heather Raitt, CEC Program Manager
Delphine Hou, California ISO
Ed Randolph, CPUC

Presenters:

Angela Tanghetti, CEC
Drew Bohan, CEC Executive Director
Eric Van Deuren, Pacific Gas and Electric
Mark Cook, Lower Colorado Dams Office, U.S. Bureau of Reclamation
Ben Kujala, NW Power & Conservation Council

Public Advisor:

RoseMary Avalos

Public Comment:

Robert Perry, Synergistic Solutions
John White, Center for Energy Efficiency and Renewable Technology

I N D E X

	Page
Items	
1. Introduction, Heather Raitt, CEC	4
2. Opening Comments from Workshop Leadership	5
3. Presentation: Summer 2021 Reliability Outlook Update	
A. Presenter: Angela Tanghetti, CEC	77
Discussion and Q&A	53
4. Panel: Hydropower Performance and Drought	
Moderator: Drew Bohan, CEC	28
A. Eric Van Deuren, Pacific Gas and Electric (PG&E)	30
B. Mark Cook, Lower Colorado Dams Office, U.S. Bureau of Reclamation	39
C. Ben Kujala, NW Power & Conservation Council	45
5. Discussion:	53
7. Public Comment	76
8. Closing Remarks	80
9. Adjourn	81

P R O C E E D I N G S

1 JULY 08, 2021 10:01 a.m.

2 MS. RAITT: All right, good morning, everybody.
3 Welcome to today's 2021 IEPR Workshop on Summer 2021
4 Electric and Natural Gas Reliability. I'm Heather Raitt,
5 the program manager for the Integrated Energy Policy
6 Report, which we referred to as the IEPR. Today's workshop
7 is being jointly held by the Energy Commission, the
8 California Public Utilities Commission and the California
9 Independent System Operator. This workshop is being held
10 remotely consistent with the Executive Order N-08-21 to
11 continue to help California respond to, recover from, and
12 mitigate the impacts of Covid-19 pandemic. The public can
13 participate in the workshop consistent with the direction
14 in the executive order.

15 To follow along today, the presentations that
16 will be presented have been docketed and are posted on our
17 website. All IEPR workshops are recorded, and both the
18 recording and written transcripts will be linked to the
19 Energy Commission's website following this workshop.
20 Attendees have the opportunity to participate in a few
21 different ways today. For those joining the online
22 womb -- Zoom platform, excuse me, the Q&A feature is
23 available for you to submit questions. You may also upvote

4

1 a question submitted by someone else. Click the thumbs up
2 icon to upvote. Questions with the most upvotes are moved
3 to the top of the queue. And we will reserve a few
4 minutes before the end of the morning to take questions
5 submitted through that Q&A feature. But we likely will not
6 have time to address all questions submitted.

7 Alternately, attendees may make comments during
8 the public comment period at the end of the morning and
9 afternoon session. Please note that we will not be
10 responding to questions during the public comment period.
11 Written comments are welcome and instructions for doing so
12 are in the workshop notice. Written comments are due July
13 23rd. And I should clarify that this morning is the
14 beginning of a two -- of this two-day workshop, so we will
15 have this morning session and the afternoon session today,
16 and then tomorrow there'll be two sessions and each one has
17 a separate Zoom logon. So with that, I'll turn it over to
18 Commissioner Andrew McAllister to begin the opening
19 remarks. Thank you.

20 COMMISSIONER MCALLISTER: Thank you, Heather.
21 First off, thanks, thanks to you and your team for putting
22 together this two day workshop. And for those of you
23 interested in both reliability and building
24 decarbonization, we have actually packed four days ahead of
25 us today and tomorrow on electric and natural gas

5

1 reliability and then Monday and Tuesday on various aspects
2 of building decarbonization. So these are two of the major
3 themes of our time in terms of energy system planning and
4 decarbonization of our state. And they, you know, we have
5 a lot of activities, and a lot of successes that we have to
6 generate over the coming years. And we really can't, but
7 we can't skimp on any of them. We have to succeed on
8 really the, I call it the triumvirate of activities of
9 goals that we have.

10 Number one is, we all know, is reliability, and
11 what we are here to talk about today and tomorrow,
12 decarbonization, and the third is equity. We have to do
13 all this in a way that is equitable and inclusive across
14 California. So those three legs of the stool really all
15 have to be there for us to consider our long term
16 transition of our energy sector to zero carbon to have been
17 a success. Right. Reliability and equity have to be
18 there. So with that, I want to just thank my fellow
19 members of the dais. Really, I think that the fact, the
20 importance of the reliability discussion is reflected in
21 the fact that we are really locking arms across the
22 agencies, the energy agencies, to educate ourselves and
23 sort of level set and gather information and really make
24 sure that the -- that we are providing the leadership and
25 that really everyone has a voice to help inform this

1 discussion.

2 And so we have our lead on Reliability,
3 Commissioner Gunda, who I'll hand off to presently,
4 Commissioner Karen Douglas from the Energy Commission, that
5 will also be with us shortly, as will I think, Commissioner
6 Monahan, perhaps. And then we have -- we are blessed to
7 have President Batjer, Marybel Batjer from the California
8 Public Utilities Commission, along with her colleagues,
9 Commissioner Guzman Aceves and Commissioner Rechtschaffen.
10 So thanks to both of you, or all three of you. And then we
11 have the present CEO of the California Independent System
12 Operator Elliot Mainzer. So thank you, Elliot, for being
13 with us as well. I think the fact that we have, you know,
14 leadership across the three agencies here is really
15 indicative of the importance of this topic. And I'm Chair
16 Hochschild would be with us if he were in the office, but
17 he's out on vacation. So I think that we really this is
18 the utmost highest level priority for our three agencies.

19 So you know, we're here basically to talk about a
20 number of themes over the next couple of days. And I think
21 the overarching topic here is you know, weather is front
22 and center. Climate and weather, you know, the
23 interrelated things are what we have to work to, you know,
24 deal with. The facts of climate change that we're, we know
25 it's upon us and we're seeing it every day and it's

7

1 impacting our electric system, you know, as we speak,
2 really. It'll be 103 in the central northern Central
3 Valley here. And we're seeing heat waves over and over
4 again earlier and stronger than we ever have. So you know,
5 we have to work together to control what we can to prepare
6 for what we cannot. And so, you know, the planning of our
7 energy sectors, our electricity and natural gas sectors are
8 that's what we have to do to mitigate and deal with the
9 impacts of climate change and optimizing investment such
10 that we do it in an equitable fashion, as I said.

11 So I'm really gratified to be leading the IEPR
12 this year. This is, you know, highest priority topic.
13 The -- we have a limited number of themes in this year's
14 IEPR alongside the Forecasts, the Natural Gas system,
15 Reliability, and Building Decarb. Those are the big four
16 this year and they're all important for us, for our energy
17 future in California. So I'm really glad to welcome all
18 the attendees and again, my colleagues on the dais. And
19 with that, I'll pass it over to Commissioner Gunda, who's
20 the lead on Reliability here at the Energy Commission.

21 COMMISSIONER GUNDA: Good morning, everyone. And
22 Commissioner McAllister, thank you so much. First of all,
23 I want to just thank you for your leadership on this years
24 IEPR also just your thought leadership on building
25 decarbonization, as well as, you know, the analytics that

1 we do, both the data and the assessments we do. So thank
2 you so much for your leadership across that idea of items
3 that we need from the state.

4 So it is going to be an action packed two days,
5 as Commissioner McAllister noted. I do want to recognize
6 and thank all the commissioners. I want to confirm that
7 Commissioner Monahan is on the dais with us. Really glad
8 to see her too. So just, you know, I want to take a few
9 minutes to set the stage, provide an overview of what we're
10 trying to tackle here. At the very top, as Commissioner
11 McAllister noted, just want to take a moment to recognize
12 the leadership of President Batjer, Chair Hochschild, and
13 President Mainzer in really setting the stage for all of us
14 to collaborate and recognizing this fact that while we all
15 have very distinct roles and responsibilities, our
16 individual success as agencies, it really is a collective
17 success. You know, so it relies on the collective success.
18 So we have to bring together everything we can to support
19 the state in the liability, but long term planning. So
20 just want to key that up. It's just a great collaboration
21 that we have right now.

22 So for today's workshop, just highlights the
23 really, a term that Commissioner McAllister has been using,
24 the interconnectedness of the electric grid. So we have
25 the interconnectedness to the water system as we discussed

1 the impact on the drought on hydropower today. We have the
2 interconnectedness to the rest of the western grid as we
3 talk about role of imports, particularly net peak hours,
4 and our dependence on that today, and interconnectedness to
5 the gas system. We have a whole day workshop led by
6 Commissioner Guzman Aceves tomorrow to really think through
7 the interconnectedness between Electric and Natural Gas
8 Reliability. So there is -- the central theme for
9 reliability is emerging to become this interconnectedness
10 and how we need to think about, you know, the work
11 together, both you know, between the agencies, but also
12 California and the rest of the west.

13 In May, IEPR workshop, with our partner agencies,
14 again you know, the same leadership that we have today, we
15 discussed the outlook for the summer. We are continuing to
16 carry out the recommendations in the Root Cause Analysis.
17 And we'll have a presentation today to just kind of go over
18 the revisions to what we observed as the outlook for the
19 Summer and how the agencies are collectively preparing to
20 get through that. So the June heat wave was the first test
21 of our planning since the last year. And I think I just
22 want to commend the kind of relationship we all have and
23 the partnership to get through that. And I think the
24 agencies were successful in navigating through that and
25 then kind of test some of our strategies that we planned

1 for navigating what we expected to be potentially a tough
2 summer.

3 The early and repeated heatwaves that we see
4 around the west, along with the drought conditions, really
5 highlight the importance of adapting how we look at
6 reliability in the face of climate change. And I'm just,
7 you know, want to recognize how hard all the agencies are
8 working to ensure that we think through this cohesively and
9 collectively to put the state on the path of reliability
10 for all Californians?

11 We have a panel specifically looking at the
12 drought conditions this morning describing historic trends
13 of hydropower and what do we anticipate moving forward.
14 Mark Rothleder from CAISO will lead the panel. In the
15 afternoon, we'll be looking at the midterm reliability,
16 specifically looking at 22 through 26 time frame. You
17 know, what are some of the actions that the CPUC is taking
18 and what are some of the things that we are teeing up as
19 the next steps to really think through this?

20 And for tomorrow, led by Commissioner Guzman
21 Aceves, we'll be discussing the interconnectedness of the
22 natural gas and the electric system and potential impacts
23 and extreme weather conditions on both systems, and how do
24 we plan that together and what a hot summer might look like
25 to the natural gas system and what the impacts of a hot

1 summer could be on the winter. And we'll try to highlight
2 the lessons that we've learned from the polar vortex that
3 we experienced in Texas.

4 In the afternoon tomorrow, we'll have
5 presentations from CPUC, CAISO, and LADWP, to really think
6 through this interplay of Electric and Natural Gas
7 Reliability, specifically in the L.A. Basin and how it all
8 ties to the Aliso Canyon use.

9 So, again, in summary, it'll be -- a it'll be an
10 important to day conversation. And I'm incredibly thankful
11 for all the leadership that are here to think this
12 collectively and in a coordinated fashion. And I also want
13 to close on the same remark that I opened with, which is we
14 cannot do this alone. No agency can do this alone. And I
15 am incredibly thankful for President Batjer, and President
16 Mainzer, and Chair Hochschild for, from the top, setting
17 the stage of let's work together, and their collective
18 success is imperative to make sure California meets climate
19 goals. So with that, I'll pass the mic to President
20 Batjer.

21 PRESIDENT BATJER: Thank you so much,
22 Commissioner Gunda, and thank you to Commissioner
23 McAllister for your remarks. I would just really
24 underscore everything you've said. I am so pleased that we
25 are -- we have such a full dais today. And I would also

12

1 add that you are so right, Commissioner Gunda. We cannot
2 do this alone. It's going to take all hands all the time,
3 100% of the time, and with good thinking, collaborative
4 thinking and innovative thinking. So and as you said, I
5 and my colleagues, we all have been very focused on
6 reliability of this summer, laser focused ensuring in this
7 time, as you also, well said, of unprecedented climate
8 change driven heat events. I think we were all shocked, as
9 were the scientists, of the heat dome that consumed the
10 Pacific Northwest. I mean, to hear of temperatures of 121
11 in British Columbia, and 117 in Portland, 108 in Seattle,
12 and terrible temperatures in Montana and Wyoming. It's
13 quite nothing short of frightening. And I think it gave us
14 all a scare. And even for me personally, I need to
15 redouble our efforts to make sure we're doing all we
16 possibly can for good ol' Mother Earth and our fellow
17 Californians, if not indeed all of -- all of the people of
18 our country and the world, frankly. It's nothing short of
19 that important.

20 So this workshop, these couple of days are very,
21 very important in terms of informing us, helping us think
22 through. I'm very pleased we're having some of the
23 presentations and some of the discussions that we will be
24 having today and tomorrow. So I really thank the CEC for
25 doing all of the hard work to put this workshop on. And I

13

1 thank all of those who will be presenting today and
2 tomorrow, including my fellow commissioner, Commissioner
3 Guzman Aceves. So thank you all very much. And I think
4 the good thing is that we stop talking and we get doing.
5 So thank you all very much.

6 COMMISSIONER GUNDA: Thank you, President Batjer.
7 Just wanted to acknowledge that Commissioner Douglas is
8 also here with us. Now she joined. I want to just ask if
9 any other Commissioners would want to say anything before
10 we jump in. I don't see any kind of request. Oh. Go
11 ahead. Sorry.

12 COMMISSIONER MONAHAN: Thanks, Commissioner
13 Gunda.

14 COMMISSIONER GUNDA: Yeah.

15 COMMISSIONER MONAHAN: Yeah. I'm going to -- I'm
16 going to be very fast because as President Batjer said, we
17 really want to get down to the conversation at hand. But I
18 really appreciated the opening remarks of both you and
19 Commissioner McAllister, this theme of interconnectedness
20 and the framing of the priorities of reliability,
21 decarbonization, equity, I think are spot on. Last year's
22 IEPR focused on transportation, really highlighted the
23 opportunity for zero emission transportation to take off,
24 as battery electric vehicles in particular are, you know,
25 sweeping the world globally. It's an unstoppable

1 transition. The question is how fast it will occur and the
2 reliability of the group that is critical to us being able
3 to make progress. What is the major, biggest source of
4 emissions in the state of California? Half of all
5 greenhouse gas emissions come from transportation. We need
6 to zero out those emissions. The grid is critical to that.
7 The stability of the grid is critical to that, that I would
8 say, you know, transportation is the camel's nose under
9 the tent when it comes to electrification we see across the
10 whole state local cities, starting with my city of
11 Berkeley, the first one, and now we've basically taken off
12 with every major municipality, most of the major
13 municipalities in the state requiring that new buildings be
14 electric in some form. So this, just this issue is
15 central, is central. How do we make sure that, as we
16 electrify more and more the grid is stable and our
17 particular lowest income families are protected? And I
18 think the fact that we have so many participants today
19 highlights how we are all taking this very seriously. We
20 all need to work together. And I'm really looking forward
21 to the conversation over the next two days.

22 COMMISSIONER GUNDA: Thank you, Commissioner
23 Monahan. Commissioner Monahan, just noting that your audio
24 was a little choppy, but we could hear the message just
25 flagging that for future comments. I don't know if

15

1 President Mainzer, you wanted to add anything before we
2 jump in.

3 PRESIDENT MAINZER: Yeah. Thank you,
4 Commissioner Gunda. I do have just a few comments, just
5 briefly. This is a wonderful opportunity just to address
6 so many of my colleagues and so many of the folks in the
7 energy sphere here in California and abroad. First of all,
8 I wanted to really echo the theme of collaboration. I
9 think it's just been incredible this last, you know, eight
10 or nine months since coming back to California, working
11 with all of you. And I want to particularly express some
12 appreciation for President Batjer's bringing that
13 tremendous sense of focus and urgency. I think the
14 procurement order that came out a couple of weeks ago from
15 the PUC for 11,500 megawatts, that really is a monumental
16 step forward for California in terms of procurement of
17 clean energy and capacity. And at the ISO, we see that as
18 such an important step.

19 And I just want to highlight a couple of things
20 that are a function of feedback that I have received in the
21 last several months, and just observations. I think, first
22 of all, at the ISO it's, we are going to do everything
23 within our power to make sure that our transmission
24 queuing, processes, and that the transmission system is
25 able to provide deliverability for these resources. That

16

1 includes network upgrades, that includes working with
2 utilities on substation infrastructure. We know what's
3 ahead of us in the next several years in terms of resource
4 retirements and that deliverability for both local and
5 system RA onshore/offshore is going to be really, really
6 important.

7 I've really appreciated working with the CEC, and
8 the CPUC and many stakeholders across California, so that
9 just has to be an absolute laser focus for all of us. And
10 we're going to really try to bring some creative problem
11 solving to that equation. I would also encourage all of
12 us, you know this is a very dynamic time nationally with
13 what's happening with the Biden administration and the
14 infrastructure bill potential. I think it's also a time
15 for us to really think deeply about what out-of-state
16 transmission needs for California -- means for California
17 in terms of both access to diverse portfolio of resources,
18 as well as strengthening the economic environmental value
19 of our regional electricity market.

20 I do think just a couple other quick
21 observations. You know we know all of us right now, we
22 know that we're in a very challenging transition moment for
23 the state as we -- as we move through the first chapter to
24 maybe the second or third chapter of our decarbonization
25 trip. And so it's really important that as we think about

17

1 the procurement, that we also, I think, want to think about
2 what are the resources that we can bring online in the next
3 several years that can really take us off the edge. We're
4 living on the margin. We have a relatively tight reserve
5 situation right now. What's going to be the best set of
6 resources that we can get in to really help us out with
7 that net peak and those strains on the system in the next
8 several years? So we're not in such a choppy situation.
9 So I'm really looking forward to hearing more about that,
10 and then sort of the timing and the sequencing of the
11 resource acquisition.

12 And then finally, I just wanted to add, I know
13 there's, we've been -- a lot of focus recently on the
14 supply side, but you know the demand side of the equation
15 is obviously so important. Load flexibility. I know we
16 all know, all of us in the planning and operations here in
17 California recognize just how critical flex alerts and
18 demand response the new LRP program are going to be to
19 getting across this summer, while minimizing the
20 probability of rotating outages. And so I'm really looking
21 for and appreciate the leadership in multiple spaces within
22 the state apparatus to make sure that we continue to make
23 those changes to the demand response framework in
24 California to better align and rationalize economic
25 incentives, dispatch time frames, capacity determinations

1 and performance metrics. I see this is really urgent work
2 so that we're working on both the supply side and the
3 demand side with equal urgency.

4 So thanks for the opportunity to offer just a few
5 comments. I really appreciate all the effort that's gone
6 into this session. My team, we're just super inspired to
7 work with all of you and continue to really lean in the
8 next couple of years to help the state maintain reliability
9 and meet these just really important clean energy
10 objectives. So thank you.

11 COMMISSIONER GUNDA: Thank you, President.
12 Mainzer. Before I pass the mic back on to Heather here for
13 kind of moving through, I just want to note that I might
14 have to step out towards the end of the morning session
15 briefly. And I have my advisor, Liz Gill, who will kind of
16 be there to answer any questions that might come for our
17 office. But we will have Commissioner McAllister lead that
18 part. So with that, to Heather.

19 MS. RAITT: All right. Thank you, Commissioner.
20 So our first presentation this morning is on the Summer
21 2021 Reliability Outlook Update and Angela Tanghetti will
22 be presenting. She's the staff lead for Power
23 System -- the Power System Modeling Group with the Energy
24 Commission in the Energy Assessments Division. And I'll
25 just note that after Angela's presentation, we also have

19

1 Delphine Hou, who's the director of California Regulatory
2 Affairs at the California SO, to help address any
3 questions. And also, Ed Randolph who's the deputy
4 executive director for Energy and Climate Policy from the
5 CPUC, who's available to help address questions. So with
6 that, go ahead, Angela. Thank you.

7 MS. TANGHETTI: Good morning. Good morning,
8 stakeholders. And thank you all on the virtual dais for
9 your real leadership, your direction and asking some really
10 hard questions. It's honestly motivating for me as staff.
11 So with that, I'm here to get us started by presenting
12 updates to the supply staff the CEC presented at the May
13 4th Joint Agency Workshop. Quite a few things happened or
14 changed since our last workshop. So let's see what we've
15 learned. Next slide, please. Oh no, you're on the right
16 side there. Thank you.

17 Today we'll briefly go over the recent June
18 weather event. There are also changes in not only supply,
19 but also projected demand since the May 4th workshop where
20 we shared the Energy Commission's Summer Supply Stack,
21 considering both average and extreme weather scenarios. In
22 addition to the Stack Analysis, we'll share our most
23 current information on wildfire risk to the instate
24 generation portfolio. Next slide, please.

25 During June, California experienced some near or

20

1 some record setting temperatures. At the same time, our
2 neighboring states experienced a heat dome that also kept
3 temperatures at or near record levels. During this heat
4 event, the California ISO issued a flex alert due to this
5 above average weather, drought conditions, and also some
6 unplanned outages. During this heat event, the energy
7 agencies in California were able to implement the Joint
8 Agency Contingency Plan to help ensure grid reliability.
9 The flex alert and other contingency efforts avoided
10 outages and the need for a Reliability Demand Response
11 Resources Event. Next slide, please.

12 As you can see from this chart of projected and
13 actual demand from June 17th, consumers responded to the
14 conservation call, reducing electricity demand during
15 crucial evening hours to keep from overtaxing supply. Next
16 slide, please.

17 At the last workshop, stakeholders questioned how
18 batteries may perform given a heat event. This chart is
19 also for June 17th of this year, showing battery operations
20 in sync with net peak load demand. It has been interesting
21 to watch the evolution of this chart from a few hundred
22 megawatts to now displaying a thousand megawatts on the
23 left axis. We look forward to what the next few months and
24 years will show for the battery category of resources.
25 Next slide, please.

1 As a reminder, the purpose of the CEC Stack
2 Analysis is a Near Term Simplistic Reliability Outlook.
3 The California ISO NQC list is used because it contains a
4 dependable capacity accounting method that is vetted
5 publicly, the list is regularly updated, and represents
6 basically steel in the ground. Last week, the California
7 ISO presented a Stack Analysis of the CPM Significant Event
8 Stakeholder Meeting to provide context for the
9 solicitation. For those following closely, we thought it
10 was important to clarify the differences between the two
11 analysis and capacity counting methods used in resource
12 adequacy, also known as RA and the Net Qualifying Capacity,
13 NQC. Next slide, please.

14 At the May 4th workshop, CEC staff presented our
15 first set of Supply and Demand Stack Analysis Charts for
16 Summer 2021. Two scenarios were presented for the months
17 of August and September. Based on new information
18 surrounding the California drought, plant outages, and
19 procurement delays, we are updating not only supply, but
20 also demand projections. CEC staff not only updated the
21 Stack Analysis Charts from the May presentation, but also
22 added the month of July, even though as a long term planner
23 by including July, and breaking one of my research rules,
24 which is never project the timeframe you are currently
25 living through, we find it necessary to share what we know

1 and are projecting for the month of July. CEC staff is
2 projecting a net decrease in monthly peak hour demand of
3 approximately 200 megawatts for July through September due
4 to changes in water agency pumping loads. Supply side
5 updates include an approximate 1,000 megawatt derate to
6 hydropower plants due to projected lower reservoir levels
7 and water availability, beginning in July. The CEC's May 4
8 Supply Stack used historic average RA showings for imports.
9 However, the California ISO was able to provide the
10 aggregated actual RA imports showings for the month of July
11 and August, which are slightly higher in July but then
12 slightly lower in August compared to our historic average
13 projections. Also, since the May 4th workshop, the Russell
14 City plant experienced an unplanned outage, and the CPUC
15 was - notified of a few delays in improved Summer
16 procurement. Next slide, please.

17 Even though the May 4th Workshop Slides did not
18 provide outlook for July, we're still calling as revised.
19 Please note also that the May 4 Stack Analysis only
20 included a 15% Planning Reserve Margin Demand Curve. For
21 this Update Analysis staff added a 17.5% demand curve for
22 the Average Weather Scenario. As you can see, under
23 Average Weather Conditions and considering the revisions
24 mentioned on the previous slide, July is considered
25 reliable under both the 15 and 17.5% Planning Reserve

1 Margin Demand Curve. Next slide please.

2 The Revised Stack Outlook for August under
3 Average Weather Conditions is also still considered
4 reliable under both the 15 and 17.5% Planning Reserve
5 Margin Demand Curve. Next slide, please.

6 For September, the updates do not trigger any
7 contingency using the 15% Planning Reserve Margin Demand
8 Curve. However, including a 17.5% Planning Reserve Margin
9 Demand Curve, the updates do trigger the use of
10 contingencies. These contingencies are projected to occur
11 during the 6:00 to 7:00 p.m. hour and also the 7:00 to 8:00
12 p.m. hour. Remember, the May 4th figure did not include a
13 17.5% PRM Demand Curve. Next slide, please.

14 July updates, under the Extreme Weather Scenario,
15 caused four trigger contingencies. Again, there was not a
16 Supply Stack provided for July during the May 4th workshop.
17 This slide represents the difficulty the energy agencies
18 must tackle if California experiences extreme or weather
19 events in July. Next slide, please.

20 For August, the updates under the 13.5% Demand
21 Curve caused an increase in the amount and also duration of
22 trigger contingencies when compared to the May 4th figure.
23 Trigger use of contingencies under the 13.5% PRM, now
24 appear in the 5:00 to 6:00 p.m. hour and extends to the
25 9:00 p.m. hour. The amount of contingencies also increases

1 depending on the hour when compared to the May 4th figure.

2 Next slide, please.

3 September updates, under the Extreme Weather
4 Event, also caused an increase in not only the amount, but
5 also the duration of trigger contingencies when compared to
6 the May 4th figure. Updates now trigger contingencies in
7 the 8:00 to 9:00 p.m. hour, while the May 4th, 21 figure
8 showed no contingencies in this hour. The amount of
9 hours -- the amount of trigger contingencies also
10 increases, again, depending on the hour when compared to
11 the May 4th figure. Next slide, please.

12 Here's some of the measures available to the
13 energy agencies in the event of trigger contingencies.
14 Some of these contingency measures were drawn upon during
15 the June heat event, namely the flex alert. Also in June,
16 energy agency staff contacted large consumers to ask if
17 they could shift consumption to nonpeak hours or to reduce
18 their load. And the California ISO was able to secure
19 additional imports from other balancing authority areas.
20 Emergency load reduction programs developed by the PUC are
21 in place and designed to pay back generators if requested.
22 Next slide, please.

23 Wildfire threat is also a potential risk to the
24 electric system assets in California considered in the
25 CEC's Summer Stack Analysis. While many CEC jurisdictional

1 plants are in lower wildfire risk areas, 12 of these
2 jurisdictional plants are located in higher fire threat
3 areas, namely the Geysers, Geothermal area, and a few in
4 San Diego County. Generally, hydropower plants are located
5 in rural areas, and most of the hydro fleet are in higher
6 fire threat areas. At this time, CEC staff projects no
7 decrease to Summer 2021 peak capacity in the Summer Stack
8 Analysis due to fire threat. Next slide please.

9 These maps are provided to simply complement the
10 text I provided on the previous slide. The left map
11 displaying California's hydro fleet, and the right map
12 displaying the CEC jurisdictional power plants in relation
13 to fire threat regions. Staff will continue to monitor
14 statewide fire conditions to evaluate risk and impact to
15 electricity supply throughout the fire season.

16 With this, this summarizes the changes from the
17 CEC May 4th, 2021, Stack Analysis, again, from a California
18 perspective. I look forward to our next panel of experts
19 in Operational Planning for perspective from other areas of
20 the WECC. With that, I'm open to questions from the dais
21 with the help of Delphine Hou, from the California ISO, and
22 Ed Randolph, with the PUC. Thank you.

23 COMMISSIONER GUNDA: Angela, this is -- just want
24 to thank you for your presentation and want to make sure I
25 acknowledge the careful kind of considerations of all the

1 things that are happening and ensuring that we're tracking
2 this carefully. I have been intimately familiar with all
3 the work that you're doing, so I don't have any questions.
4 But I would really like to make sure there is a opportunity
5 for the rest of the commissioners on the dais for any
6 clarifying questions that they might have.

7 PRESIDENT BATJER: Commissioner Gunda, This is
8 Marybel.

9 COMMISSIONER GUNDA: Yeah.

10 PRESIDENT BATJER: I just want to add my thanks
11 to Angela and the team. We all have, we, the
12 Commissioners, we all have been living with these numbers
13 24/7 recently. So I, like you, have been pretty intimately
14 aware, acutely aware of the numbers and some of the
15 challenges that we have. So I have no questions. I just
16 want to thank you, Angela, and very good presentation and
17 look forward to any of the other questions from the dais.

18 COMMISSIONER GUNDA: Thank you, President Batjer.

19 COMMISSIONER GUZMAN ACEVES: Commissioner Gunda.

20 COMMISSIONER GUNDA: Yeah. Please, Commissioner.

21 COMMISSIONER GUZMAN ACEVES: I don't know if
22 there's a short answer to this, Angela, but do you know
23 what the issue was at the Russell plant?

24 MS. TANGHETTI: I don't --

25 PRESIDENT BATJER: There was a fire.

1 COMMISSIONER GUZMAN ACEVES: Thank you.

2 PRESIDENT BATJER: Martha. There was a fire.

3 COMMISSIONER GUZMAN ACEVES: Okay.

4 COMMISSIONER GUNDA: Commissioner Guzman Aceves,
5 there was a -- it's a two stage plant and we had a fire and
6 explosion in the second stage boiler. And so that's
7 something that we are actively tracking.

8 Any other questions? Commissioner Monahan, or I
9 don't see any other questions. With that I think we're
10 back to -- back to Heather. Thank you, Delphine and Ed,
11 for being here.

12 MS. RAITT: Great. Thank you so much. Thanks,
13 Angela. So we'll move on to the first panel on Hydropower
14 Performance and Drought, and the moderator is our very own
15 executive director, Drew Bohan from the Energy Commission.
16 Go ahead, Drew.

17 MR. BOHAN: Good morning, everyone and thank you,
18 Heather. Ever since the first dam started producing
19 electricity in the late 19th century, hydropower has been a
20 reliable, flexible and pollution-free electricity resource.
21 Over the years, we've learned about some of the negative
22 impacts from hydro generation to people, to wildfire,
23 and -- wildlife, excuse me, and other resources.
24 Nevertheless, hydropower is a critical electricity resource
25 here in California. In the CAISO territory, hydropower is

28

1 one of the largest sources of electricity, typically
2 accounting for about 14% of summer peak capacity.
3 Statewide installed hydro capacity totals just over 10
4 gigawatts. So this is a big resource.

5 In our first IEPR Workshop this year on
6 Reliability on May 4th, Tuan Bui, from the California
7 Department of Water Resources, described the starkness of
8 the drought impacts to their operations this year. Tuan's
9 Department estimates this year's hydro generation will only
10 be 35% of their 2020 levels. And we just heard an update
11 from Angela on how those figures impact Reliability. This
12 morning's panel takes a little broader geographic look at
13 drought impacts to hydropower, how it affects plant
14 operations, and what this might mean for hydropower
15 availability in future years. We got a great panel this
16 morning and allow me to provide brief bios of our speakers
17 before we begin.

18 First up will be Eric Van Deuren. After working
19 at Mead and Hunt for over 22 years, Eric spent the last 8
20 at PG&E. He currently serves as PG&E's senior director of
21 Power Generation. Next, we'll hear from Mark Cook. As an
22 electronics engineer, Mark started his career with the
23 Bureau of Reclamation at Hoover Dam and began overseeing
24 the large capital projects and much of the long term
25 planning of the facility by 2012. In 2015, Mark was

1 promoted to his dream job, manager of the iconic Hoover
2 Dam, a job he holds today. And our final panelist will be
3 Ben Kujala. Ben is the director of Power Planning at the
4 Northwest Power and Conservation Council. He leads a
5 dedicated team of experts planning for an affordable,
6 reliable and productive electric grid that serves the needs
7 of the residents of the Pacific Northwest. Each of our
8 speakers will have 10 minutes of opening comments. Eric,
9 you'll hand off to Mark when you're done, and then Mark to
10 Ben, after which we'll have a Q&A session. Eric, the floor
11 is yours.

12 MR. VAN DEUREN: Okay. Thank you, Drew. Just a
13 quick sound check. Assuming I can -- can't be heard you'll
14 speak up. So if you go to the next slide. I'm going to
15 talk today a little bit about Pacific Gas and Electric
16 company's hydro fleet and what we're expecting from
17 generation and water supply this year.

18 So this map here shows that the bulk of our fleet
19 is in northern California on the western slope of the
20 Sierra Nevada Mountains. If we go to the next slide, it
21 talks a little bit about statistics. So we have 62 power
22 houses and over 90 reservoirs in our system on 15 major
23 watersheds. When you look at our total capacity, we have
24 3,836 or just shy of 4,000 megawatts of capacity. 2,600 of
25 that is conventional hydro power. And then of course we

30

1 have the large Helms Pump Storage Project, which makes up
2 1,200 plus megawatts of flexible generation. So to the
3 next slide please.

4 So taking a look at the precipitation and what
5 that means in terms of storage and water availability for
6 our hydro system, we see received within the area where our
7 hydro power exists, about 45% of normal precipitation year
8 to date. So that's as of July 1st, the water year. So
9 and, you know, our combined large reservoir storage is
10 currently at its second lowest storage in the last 40 years
11 of record. So that's very significant. Only 2015 was
12 slightly lower than this year. If we move to the next
13 slide, this this slide is, I'm going to take a little bit
14 of time and sort of walk through this because it provides a
15 pretty good demonstration of what those numbers I just
16 talked about mean.

17 So when I'm looking at this slide, this is really
18 only 16 of our large reservoirs. However, those 16 largest
19 reservoirs make up 95% of our total storage capacity of 2.1
20 million acre feet throughout the system. The black line on
21 top is the 30 year average that we see in the course of a -
22 - of a year. And as you can see, almost all the lines
23 below that are below that 30 year average, which is showing
24 2020, which was a dry water year. And that is significant
25 because that dry water year provides an impact on how the

31

1 drought year of this year is perceived because of the
2 carryover storage, or lack thereof, when we have a drier
3 year. It the -- the red dotted line is the 2015 year,
4 which I talked about earlier, which was a very dry year,
5 and you can see we're tracking in the 2021 water year in
6 the last month or so, pretty much on the same line as the
7 wet, dry year from 2015. Onto the next slide, please.

8 So given that, where we are with the amount of
9 water we have, as you might anticipate, we track pretty
10 closely to the amount of water availability in terms of the
11 total generation we are forecasting for our system. So
12 we're forecasting approximately 45% of historic annual
13 generation, which is, as I said, pretty much the same
14 number as the percent of precipitation or water that we saw
15 within the hydro area. And the critical consecutive dry
16 and particularly dry years that reduces that availability
17 to help support generation. So onto the next slide.

18 And here is -- here's the interesting thing. So
19 how we operate our facilities and when we generate our
20 electricity, because of the ability of hydropower to be a
21 very flexible resource, we have the ability to store water
22 in times of year when the -- when the generation from the
23 hydro facilities is less, less of a demand. And so what
24 that -- what that has positioned us to be able to do is to
25 forecast approximately 70% of the average annual June

1 through September hydro generation. And that's excluding
2 Helms, and I'll talk about Helms in a minute, because it's
3 actually quite unique. And you know, the reduced
4 springtime generation is how we -- how we achieve that to
5 be able to maximize the amount of storage we were
6 foreshadowing or forecasting the dry year as the winter
7 went on, and so we reduced the generation out of facilities
8 and how much they were -- we used for those purposes.

9 Another interesting fact is that of all of our
10 reservoirs, only one reservoir spilled water. Now when I
11 talk about spilling water, that's water that bypasses the
12 powerhouse through spillway gates at the dams and is not
13 used for generation. And when you have larger water years,
14 you typically have to spill at most of our reservoirs. And
15 so this was extreme year where only one of the reservoir
16 spilled. And I think that may be the first time we've only
17 had one reservoir spill. Onto the next slide.

18 So the Helms Pump Storage Plant. So we're
19 actually anticipating to be able to have full flexibility
20 of this plant to be able to provide the full ramping and
21 pumping capacity as needed on a day to day basis. And the
22 reason for that is we're essentially recycling that same
23 water up the hill when we pump as we're using to come down
24 the hill and generate electricity when the demand is high.
25 And so, although our reservoirs are lower, the volume of

1 water that we move back and forth is much -- is much less
2 than the total available water that we have in the two
3 reservoirs. So it provides us a pretty good amount of
4 flexibility with this reservoir. And just for reference,
5 during a normal water year, we typically have between four
6 and five days of generation capacity, which means that if
7 needed and not that we would ever do this, but if needed,
8 we could run that Helms Plant, that full load for four to
9 five days with the amount of water that's available in
10 those reservoirs during a normal year. So with the drought
11 year, although that duration is less, the plan is not
12 operated in that kind of capacity. Right. And so it gives
13 us the ability to be able to weather these drought seasons
14 and provide at Helms, to its -- to its full capabilities
15 throughout the -- throughout the summer. So I just thought
16 that was important note to spend a little more time on.

17 So if we take a look at the next slide on the
18 challenges of lower generation. I think the key here is,
19 despite the fact that we have the Lower Generation
20 Forecast, you know, we can still provide that quick
21 response to meet peak loads and we're still at quite a bit
22 higher total generation capacity for those peak loads than
23 in that 45% in the total generation megawatt hours
24 capacity. So that's a -- that's a real positive. And we
25 are able to focus on the critical days, those critical

1 hours. And it -- and it's not that abnormal from what we
2 do in most summers. We just have to manage the water in
3 the wintertime when it's there to be able to have that
4 capacity available. So to the next slide, please.

5 The other thing to keep in mind as we take a look
6 at hydro are our operational constraints. So there are a
7 number of factors that we have to take into account in
8 terms of how we operate in our reservoirs. And some of
9 those are what I like to call constraints in terms of when
10 we can offer certain ramping, the rate at which we can ramp
11 and other things. And some are some things that we're
12 going to see in terms of curtailments a little bit later
13 this year. So the first bullet on here, the low lake
14 levels that we're seeing, eventually we reach a point on
15 some of our reservoirs where we're near the bottom of the
16 intake and you have the ability to potentially suck in
17 silts, which can damage and sometimes severely damage the
18 turbine and associated equipment. And so we end up having
19 to move into a curtailment of some of those facilities.
20 And we see some of that coming up in the September
21 timeframe. It's about four facilities right now and we're
22 taking actions to address that appropriately. Our
23 licenses, our FERC licenses for all of these facilities
24 have required minimum flows within the streams that we
25 actually have the bypass from the dams and into the

1 streams. And so those minimum flows are water that we can't
2 generate with. And that's necessary for environmental
3 purposes.

4 And we, you know, do have variances on some of
5 those flows to reduce the amount we have -- we put down the
6 streams relative to what we would have done during the
7 normal water year. But there still is a benefit to the
8 environment to be able to provide at least that small water
9 flow throughout the summertime to support the aquatic
10 habitat. So it's very important that we keep that in mind
11 as we look through this. And also looking at things like
12 ramping rates, also, how fast we can turn units up, how
13 fast we can slow units down. We do have licensed
14 conditions around those and that's built into how we
15 operate the facilities. Recreation flows are something
16 that occur, and the Pit river is a great example of this,
17 where the white water rafting community has built in
18 with -- we have built in within our licenses, the ability
19 to, or the requirement to provide, instream flows greater
20 than the smaller flows that we would put in the rivers just
21 to maintain the aquatic habitat for whitewater rafting.
22 And so it's something we have a requirement to do and has
23 to get sort of fit into how we operate during the summer.

24 And then finally working collaboratively with the
25 partner agencies. So much of our water has dual purpose,

1 right. It's not only used for the power generation, but
2 it's also, there's also a fair amount of it that's used for
3 consumptive use. And so we have those consumptive water
4 contracts and requirements on those that dictates when some
5 of the hydropower facilities are allowed to generate. So
6 onto the next slide.

7 In this slide there's a, it really sort of shows
8 the -- how we manage the outages associated with our
9 facilities. So they can't be available 100% of the time,
10 right. You have to -- you have to be able to plan time to
11 take units out of service, to perform maintenance, to
12 perform capital upgrades. That's true, not only for hydro,
13 but for the entire portfolio of generation. So we really
14 spent a lot of time this year working on moving those
15 outages out of the June through September timeframe, that
16 summer peak period, to absolutely minimize the number of
17 units we have off. As you can see, we have, you know, less
18 than 300 and in some cases, less than 200 or even 100
19 megawatts of the total portfolio planned to be out of
20 service during that peak period. The couple of spikes that
21 you see down at the bottom, those are the recreation flows
22 that I talked about earlier, where we have a license
23 requirement to provide those recreation flows. We do have
24 the ability if there's a no touch day to basically postpone
25 or reschedule those recreation flows. So we work with the

37

1 recreation community in order to be able to manage that to
2 the best of our ability and then on the next slide.

3 So talking about moving forward, I think the key
4 moving forward here is, you know hydro really does play an
5 important part in the entire energy portfolio, not only for
6 California, but I think throughout the United States. And
7 so, you know, continuing to capture that storage is
8 important and necessary. And there are multiple uses for
9 the water that gets captured within that storage so that
10 that's important. You know, it has the ability to adapt to
11 the changing energy needs due to its flexibility. And so I
12 think that's really important. It also, it can be thought
13 of as an integrator of the other renewable energies that
14 are not dispatchable. And so that's an important thing to
15 understand.

16 And you know, the last thing, it's really not
17 stated in here, is that is the life of a hydro power
18 facility really is quite long. You know, if you look at
19 battery technologies as having a 20-year life, well many of
20 our hydro facilities are over 100 years old. We continue
21 to maintain and upgrade those facilities as we move
22 forward, but they really are long term assets that add a
23 lot of benefit to us and the grid, in my opinion. So I
24 think that wraps up my presentation. So any questions? Or
25 I guess we're moving straight to Mark. Is that correct or

38

1 is it the questions first?

2 MS. RAITT: This is Heather. Yeah. Let's go
3 straight to Mark. We'll hold questions until the end.

4 MR. BOHAN: Okay. Thank you.

5 MR. COOK: All right. Yeah. I appreciate the
6 opportunity to be here today. I'm going to talk a little
7 bit about what we've got going on here at Hoover. And a
8 couple of the other plants downstream of us, Davis and
9 Parker also controlled out of this region here. Hoover
10 is -- it consists of 17 main generators, that's ends up
11 being 2,074 megawatts of capacity. So when I kind of think
12 about that, that's not huge when you think of in the. you
13 know, grand scheme of power generating any more, power
14 stations. But it is pretty significant when we consider it
15 being the renewable resource. So I did a quick Google
16 search yesterday and the best answer I could find is that
17 it's worth about 10,000 acres of solar. So I'm like,
18 that's quite a bit of real estate that we're good for
19 there.

20 The way Hoover operates is we've got water
21 targets as kind of our primary driver, but quite a bit of
22 flexibility in that. So we have a monthly water target
23 that end up being broken down into weekly targets, but lots
24 of flexibility when we deliver out our water. I like to
25 think of Hoover as essentially the, pretty much the ideal

39

1 resource. We've got a -- we've got a large lake behind us
2 in Lake Mead, and a large lake in front of us, and so that
3 gives us a lot of flexibility when we -- when we release
4 the water and move the power.

5 We also have the benefit of that we don't have
6 any migratory fish that have to get up and down across this
7 dam. So there's no salmon here. And so that allows us and
8 also it allows us to be able to have essentially no minimum
9 flows and no maximum flows. And so we get this really nice
10 flexibility in dispatching. The units themselves can move
11 quickly so Hoover, we can move like 100 megawatts a minute
12 up or down, without any restrictions. We also have the
13 ability to be able to put units on, and motor them and have
14 that available as spinning reserve for capacity needs.

15 We're also a blackstart plant. So we're able to
16 start out without having to have outside power, in that
17 event. It's one of the things that I hope I never see in
18 my career, but we're a -- we're a FPB. If we move on
19 downstream down to Davis Dam. So Davis Dam is the next
20 damn down river. It has five generators, for -- and 255
21 megawatts of total capacity, not as flexible as Hoover, but
22 we do -- more dependent on water deliveries, being able to
23 make sure that we do that. But we shape the power delivery
24 and the water delivery around market values, essentially.
25 So we, we're able to do that and kind of, you know, fight

40

1 the duck, as I like to say, and be able to do that big ramp
2 in the evening hours.

3 Parker Dam, downstream of that, is four
4 generators, 120 megawatts at that facility. Pretty similar
5 type operation to Davis Dam where we kind of shape
6 the -- shape the load around it the best we can. But the
7 further downstream we get, the less storage we have and the
8 less ability to be able to have those flexibilities. We
9 have had quite a bit of buzz here this year with the low
10 lake. We're seeing some lake elevations that we haven't
11 seen since the filling of Hoover Dam. So we're getting
12 quite a bit of attention for that and a lot of concern
13 about the about the ongoing drought and what that means for
14 water and power.

15 So I mentioned the Hoover is rated for 2,074
16 megawatts. So as the lake has come down, we're derated now
17 down to about 1,500 megawatts, so it's seen about a 25%
18 decrease in our -- in our ability to generate
19 instantaneously. It ends up being fairly linear. So it's
20 about with every 6 feet, or excuse me, with every foot of
21 head that we drop, every foot that the Lake Mead goes down,
22 we lose about 6 megawatts of capacity. From the energy
23 standpoint, so Hoover typically generates 4,500 gigawatt
24 hours a year. In the last year, it was more down to like
25 3,500 gigawatt hours, and so it's, you know, in the

1 neighborhood of the 22% decrease of our total energy output
2 over the course of a year.

3 A couple of things that hits us on that is, I
4 mentioned that we can ramp up pretty well, and so to be
5 able to do that, we can ramp from zero megawatts all the
6 way up to our maximum load, which is about 1,500. To do
7 that, we end up juggling units around a little bit. So all
8 of our units have a rough zone in them. There's a band in
9 the region, or a middle -- in the middle of the operating
10 region where we're, we don't like to operate very long
11 because it's rough and vibrates and kind of hard on the
12 equipment. So to be able to serve a load, particularly
13 down at the lower levels, you know, 100, 200 megawatt
14 requests, we end up having to serve that load with multiple
15 generators, set point and below the rough zones, which is
16 not a very efficient operating point for us. So as
17 the -- as the lake comes down, those rough zones grow a
18 little bit. We don't have as much wiggle room on the top
19 side of those generators. And so it ends up being more
20 difficult. We still do it, but it takes us more generators
21 and therefore a little less efficient to hit that.

22 There is also kind of an efficiency hit on
23 the -- on the turbines as well as they come down. As we're
24 starting to push the -- push a little closer to the edges
25 of the capability, of the design capabilities of the of the

1 runners and get out of the peak operating kind of nice
2 place to be for them. We do have and a point where we do
3 stop generating or where we predict we'd have to stop
4 generating. So today we're elevation 1070, and if we get
5 down to elevation 950, that's where we predict that
6 everything is going to run rough enough, that we're not
7 going to be able to produce any electricity after that.
8 That's not -- that's not our minimum pool, as far as what
9 we can pass through the dam, we can still pass water
10 through the dam for a little bit, we can get down to like
11 895, but the -- we get out of the kind of at the fine range
12 of our equipment. So that's where we stop producing power
13 and we just pass water with our gates instead.

14 That drought's been going on for quite a while
15 and we haven't taken it lying down. We've done a number of
16 things along the way to help mitigate some of -- some of
17 these effects. So we've installed some wicket gates on a
18 good number of our units. So these gates are the final
19 gate that allows water into the turbines. And the new
20 design is a replacement of our steel wicket gates and
21 replaced them with stainless steel, with a thinner design,
22 thinner profile and what that allows us to do is that
23 allows us to pass more water through to be able to reclaim
24 some of that lost capacity.

25 And in that same kind of vein we've, what we call

1 over stroked some of those. So we used to have 100% gate
2 opening. We looked and said actually there's a little bit
3 more room in the servo, in the stroke. And so we would
4 loosen up our stop nuts and allow more water to pass
5 through on those. And so overall, kind of accumulative
6 with that kind of stuff, with regain, or reclaimed about,
7 well, it's over 100 megawatts of capacity that otherwise
8 would have been gone. So we would have been more down like
9 1,400 hundred megawatts instead of our 1,500 megawatts.

10 We've also been overhauling our units over the
11 past number of years. We pick up a couple or 3% efficiency
12 in our units when we do that. We replumb them, redo the
13 tolerances and clearances on them. And then we have seen
14 some really good success with that. And then one of our
15 bigger things that we've done is installing new turbines.
16 We've done it on five of our units, what we call white head
17 turbines. So these are turbines that are designed to be
18 able to accept a wider range of heads that we see from the
19 reservoir. The -- they have a reduced rough zone on them
20 and have performed really well for us, and so we're really
21 happy with what we're seeing on those.

22 We've also added roughening air on one of our
23 white head turbines. And so this is essentially just
24 pushing compressed air into the turbine. And what that
25 does is that smooths out the rough zone for that one

1 turbine. It ends up using quite a bit of compressed air,
2 particularly these lower lake elevations to do it. But it
3 allows us to setpoint that unit anywhere we need to. And
4 so it really does help out our efficiency at those lower
5 megawatt requests. And we've seen a lot of benefit from
6 that.

7 Last thing I'll mention is we upgraded our unit
8 controls on our generators. And so we haven't always been
9 able to ramp at 100 megawatts a minute back with our old
10 control system doing quite a bit slower. It was more like
11 30 megawatts a minute, instead of the 100, and we didn't
12 have near the visibility of the health and status of the
13 generators. And so with that controls modernization, we're
14 able to know what's going on with them and be able to have
15 them respond to us a lot quicker.

16 So it's been it's been a challenging number of
17 years, but we've done a lot of things to help us out and
18 continue to look for other things to help mitigate these
19 low lakes and these lower outflows that we're seeing. With
20 that, I'll go ahead and close and turn it over.

21 MR. BOHAN: Ben, you're up.

22 MR. KUJALA: All right. Thank you. Hopefully
23 you can hear me. So I'm going to have to go to the other
24 end. I'm a long term planner, and since I'm not in the
25 Northwest, I always like to start with just explaining a

1 little bit about what the organization that I come from
2 does. So in 1980, Congress formed the organization, which
3 was an interstate compact between the states of Idaho,
4 Montana, Oregon and Washington. And each state legislature
5 then passed into law a basically the compact that formed
6 the Northwest Power and Conservation Council. We are
7 council of 8 members. The governor appoints two members
8 from each of the states and predominantly we're funded by
9 rates collected from Bonneville, but the most important
10 thing is that we're a long-term planning agency. So I'm
11 not going to be able to give you the operational sort of
12 perspective that you just got. I'm going to be at a little
13 higher level. So kind of going to the other end of the
14 spectrum. Go ahead and go to the next slide.

15 So I'm supposed to be here talking about hydro
16 and I'm starting you out with a slide about clean energy,
17 and so I'm going to ask you to bear with me a little bit
18 because I want to kind of take you to a place and I want to
19 give you a little bit of a lead in in what we're seeing in
20 the long-term and where that raises some concerns about dry
21 water conditions in the northwest.

22 So when we look across the entire WECC, when we
23 aggregate together all the RPS Requirements, the Clean
24 Requirements of which Oregon just passed legislation that
25 brings them into a Clean Requirement in 2040, and that is

1 included in these numbers. And then what we are calling
2 pseudo clean, which is just adding in the municipal goals
3 and targets and the utility goals and targets. And those
4 can be pretty substantial. We have in our region Idaho
5 Power, that has a 100% clean target. Of course, Xcel
6 Energy is another utility in the west that has a clean
7 target. So some of those targets might not match with
8 current state legislation, but our targets at those
9 utilities and entities are taking very seriously and
10 pursuing as well. The point here is that you get to a
11 amount of power on the western electric grid that needs to
12 be substantially clean and that that transformation happens
13 really rather rapidly as you're going through time. And
14 then we see a real jump starting in 2030, but of course,
15 they're building and preparation to get up to that point.
16 And the RPS also is also increasing through the same period
17 of time. Go ahead and go to the next slide.

18 If we look at kind of what that projects
19 throughout the entire west, what we see is a build of
20 renewable resources that far exceeds anything that we have
21 ever seen previously. So when we went around and we
22 collected all those Clean Requirements and the RPS
23 Requirements, we ran models and we tried to project how
24 much energy would need to be built to meet all those
25 requirements, and when we look at what that does, you see,

47

1 by 2030 we're getting close to basically doubling the
2 current installed nameplate of the western electric grid.
3 Now, that's assuming all of those policies get do basically
4 complied with exactly the amount of time that are on the
5 books and that people build at a very rapid pace. So
6 whether this would actually happen, I wouldn't say that
7 this is our forecast, but it's a sort of, if everything
8 happens as stated in current policy, what would you see.
9 And also, this takes kind of some of the current
10 characteristics of the grid into account. So we're
11 assuming that the different kind of pools, like the Desert
12 Southwest is building resources to meet Adequacy
13 Requirements and Clean Requirements within the Desert
14 Southwest. So you could see this number come down if you
15 had a wider footprint and a more sort of shared target
16 towards meeting these things. But the point for hydro is
17 that what you're going to see is a very large load of
18 renewables, regardless, happening probably through the next
19 decade and continuing on. Go ahead and go to the next
20 slide.

21 So why I wanted to lead in with that is because
22 that this would be a deeply concerning picture otherwise,
23 and certainly it already raises concerns and has some
24 challenges that we want to understand. This is probably
25 the one slide that really is communicating what we see in

1 the hydro picture for the northwest. Hydro generation can
2 be anywhere from 50 to 90% of our load in the northwest.
3 It's a substantial part of our generating capacity. And
4 when we look at climate change and the impacts on hydro
5 generation, you can see here in blue, we have the historic
6 sort of flows. And in red, we have a climate change model
7 that we've used to project what might happen with
8 precipitation and with runoff from the snowmelt in in the
9 case of having warmer temperatures. And the most important
10 thing to look at here is the summer months. So as you see,
11 we start getting into lower and lower potential flows,
12 basically starting in June, going all the way through the
13 end of the water year in October. And that becomes a sort
14 of more likely outcome.

15 And so as we look at the potential for drought
16 and the potential for climate change and the impacts in the
17 Northwest System, we usually look historically at two
18 different hydro years, 1937 being the winter year where we
19 had the lowest amount of water coming through and had very
20 low generation from it, and 2001 being the summer condition
21 that had the lowest generation coming from it. And what
22 we're seeing in the sort of projections is that the
23 likelihood of us having water levels that are similar to
24 2001 in the summer is getting higher, or at least having
25 water levels that are at or below that, is getting higher

1 as an impact of climate change, especially because of the
2 shift of some of the water into the earlier parts. Go
3 ahead and go on to the next slide.

4 That being said, hydro seems to be changing the
5 way that it's responding to the Western System. And so
6 this is just pulling out from the BPA Balancing Authority
7 from the EIA data, some recent operations to kind of show
8 you. And this is, of course, from basically where we saw
9 the heat dome over the Northwest and then leading up until
10 kind of the present day. And what you can see is that more
11 the operations during the heat dome event are probably
12 pretty close to what you might have expected in the past.
13 You have a higher operation even a week after what we see
14 is that you're starting to see hydro shaping really
15 substantially into the evening hours and away from the
16 midday hours. And that's in response, obviously, to the
17 amount of solar on the grid. And when you have an
18 operation like this, the amount of water that you are using
19 as you shape the hydro into narrower and narrower hours,
20 obviously is changing. And so while we might have lower
21 water conditions that will happen in the future if we have
22 and also have a build of renewable resources that goes
23 along with that then the amount of water required out of
24 the hydro system or the amount of water that ends up being
25 used in the generation from the hydro system, could be very

1 different. And so while we might have water conditions
2 similar to 2001, we are not going to be operating in those
3 water conditions within the same grid as we saw in 2001.
4 And so while that is something that raises concern, it is
5 also something that is not exactly the same problem that we
6 saw back then. Go ahead and go on to the next slide.

7 So of course, the other side of the climate
8 change is looking at the temperatures and the impact on the
9 load. Having been in Portland during the heat dome, I
10 totally understand that having extreme temperatures will
11 lead to very different load than we projected in the past.
12 And a lot of the planners have, until recently, looked at
13 our historic temperatures as a guideline for extreme
14 events. We recently transitioned again to using climate
15 models to try to understand where those events are. You
16 can see here this is us comparing the historic temperatures
17 that were experienced within July. So not exactly June,
18 but kind of close therein, to what we saw in in the climate
19 change models. And we did see certainly hotter events and
20 a range of events that could get quite a bit hotter than
21 what we saw in the historic record. Unfortunately, if you
22 look at this compared to the heat dome event that we saw
23 recently, even the climate change records did not quite
24 reach the temperatures that we saw during that event. Go
25 ahead and go on to the next slide.

1 So when we look at kind of the overall
2 uncertainty that we're dealing with in Power Planning, I
3 think that trying to give a 10 minute presentation on a
4 pretty complex problem, you know, we kind of take it down
5 to Clean Renewable Policy Requirements really are showing
6 an unprecedented transformation in how electricity is
7 generated. It's inevitable and it's basically already
8 underway. And so the Hydro System in the Northwest is
9 already responding to the change in the generator mix
10 throughout the West. Certainly we do understand targets
11 for reductions in greenhouse gas emissions could add
12 substantial demand for electricity, and that might kind of
13 move away from some of the dynamics we see now. And that
14 would create even another sort of uncertain condition on
15 the grid. Certainly the recent Pacific Northwest heat
16 wave, it substantially exceeded our historic observed
17 temperatures leading to record setting electric demand
18 throughout the region. It exceeded even our projections on
19 the climate change records. And it's something that we're
20 going to have to be looking at and thinking about going
21 forward.

22 But the thing that I think is really a focus for
23 us right now is looking at how the existing system, the
24 existing Hydro System and honestly the existing Thermal
25 System to adapt to these changes that are moving us in a

1 direction where you have a higher penetration of renewable
2 resources, but also have a real change in the fuel of the
3 runoff for the Hydro System and a change in the demand that
4 you see from these types of events. So next slide, and
5 that was it for me.

6 MS. RAITT: Great. Thank you so much, Ben, and
7 Mark, and Eric, for those presentations. Really appreciate
8 it. This is Heather. And so now we'll move on to
9 questions from the dais.

10 COMMISSIONER GUNDA: Yeah. Thank you, Heather.
11 And thanks, Drew, for moderating the panel. I just want to
12 really thank the three panelists for providing both the
13 operations side of the equation, both in the short term and
14 the mid-term, but also Ben, thanks for bringing it into the
15 long-term context as well. So I'm going to just tee off at
16 a very high-level question that to all the three panelists.
17 So I think, you know, just teeing off from what kind of Ben
18 mentioned, which is this the need for shaping the hydro
19 resources. Specifically, to meet the net peak hours, the
20 hours of critical need. I just want to kind of have the
21 three panelists comment on both for in-state resources, but
22 out-of-state resources, as we think through the adaptation
23 of hydro, for both meeting the load, but also the ancillary
24 services, how do you see this shaping would impact our
25 ability to import during those critical hours? How do you

53

1 see that playing with the current infrastructure that we
2 have? And also, what do you think the future of investment
3 in Hydro as it pertains to rates would be?

4 MR. VAN DEUREN: Yeah. This is -- this is Eric.
5 I'll take a first shot at it. So the shaping's an
6 interesting question and all hydro is not the same. So if
7 you think about PG&E's hydro system, we basically operate a
8 store and release and have the ability to operate in
9 peaking mode, which means that we can shape our generation
10 to meet the demands with a fairly significant amount of
11 flexibility, not unlimited. And I don't think for any
12 hydro, it is unlimited because there's always a balance
13 between shaping the generation and meeting the
14 environmental requirements, right. You can completely
15 shape generation to what the demands are, and you would --
16 you would probably have some pretty negative environmental
17 impacts on our streams and aquatic habitat. So we have to
18 balance those things, we have to be good stewards of the
19 environment associated with that.

20 So but that's not -- but that's the PG&E system,
21 right, which is store and release. As you get into the
22 different types of systems, you know, the other extreme is
23 a Run of the River. So a Run of the River System would be
24 one where you basically have to pass to the flows that come
25 in. Now we have some Run of the River within our system.

54

1 It's a smaller amount and you don't really have much
2 ability to shape that. So when you talk about trying to
3 import hydro resources, it depends on where those resources
4 and where they come from and what type of resources they
5 are, as to their ability to be able to meet that shaping to
6 go along with what the market demands are. So hopefully,
7 in a nutshell, that kind of got to what your question was.
8 But that -- that's a general overview from my perspective.

9 COMMISSIONER GUNDA: So Eric, thank you for
10 kicking it off. And I just will just ask a clarifying
11 question as the rest of the panelists think through this.
12 Just in terms of rewriting the long-term kind of question,
13 too is, you know, how do we think about the availability of
14 hydro in our -- in our planning, right. So with these
15 changes to the kind of way we think about hydro. Do you
16 have any high insights into how should we think about hydro
17 moving forward before the other panelist in the comment?

18 MR. VAN DEUREN: Yeah. And I'll also go ahead
19 and let the others comment on it. But so, you know, the
20 ability to maintain and make that asset class be a part of
21 the long term plan is absolutely necessary, right. So I
22 also think that the one area that's probably not as
23 leveraged as it could be is pump storage. Right. Because
24 that's the ultimate flexible resource with respect to what
25 hydropower can provide. And so -- and there are some

55

1 challenges with pump storage, you know, in my opinion,
2 really moving forward. And one is it's a very large
3 investment, right? You're getting into billions of dollars
4 when you -- when you're talking about single assets from a
5 pump storage perspective.

6 There's also a very long life cycle from
7 inception of an idea to say, okay, I want to put pump
8 storage here, to actually getting on line. Ten years is,
9 in many cases, an aggressive schedule. In some cases
10 you're looking at 13 to 15 years. And there's a lot of
11 money outlay in the early phases of this that you have to
12 have mechanisms to recover under shorter periods of time
13 for your investors in those -- in those particular assets
14 get channeled. So that's just something to consider and
15 think about is whether or not there's a different model for
16 pump storage as to how it could be incentivized or helped
17 out, for lack of a better word, find a better system by
18 which we can go through the development process to
19 accelerate it, because frankly, the need is there today.
20 And I think, thinking long-term, that that should
21 absolutely be a part of the -- part of the discussion and
22 part of the strategy.

23 MR. KUJALA: So I would say in the Northwest, the
24 ability to shape the hydro system, it changes depending on
25 coordination. So the more coordinated you are, if you have

1 Run of River Plants, but they're downstream from Plants for
2 Storage, of course, how you use those plants together can
3 make a huge difference in the flexibility altogether. And
4 you know, when you have different owners and different
5 operators between those plants, it can create some
6 challenges where there might well, it could create some
7 opportunities as well, to see those plants work together to
8 maintain, of course, the maximum flexibility for the system
9 that you can get.

10 That being said, we have a lot of requirements in
11 the Pacific Northwest about the biological sort of
12 operations that are necessary for fish and wildlife in our
13 system. And those challenges are kind of changing and
14 adapting as we see these heat wave events, it certainly has
15 an impact on wildlife as much as it has an impact on the
16 need for electricity. And so how fish and wildlife
17 managers are responding to those events might be having
18 some impact on how we use the Hydro System. And so I think
19 that there's a lot of considerations going in.

20 What seems clear to us as we kind of look around
21 the West is that the Hydro Operations are having to change
22 quite substantially already based on just changing
23 economics in the Power System. And so when you have a sort
24 of new way of operating, understanding how economics are
25 moving our operations and understanding what that leaves in

1 terms of flexibility and the ability to respond to peak
2 events or capacity events is a really dynamic problem. And
3 so I think it's one that we are studying intently and
4 trying to understand more. But I don't know that we have
5 wonderful answers at this point. It's something that that
6 really needs to be explored. And again, we're at the point
7 where what we thought were kind of some pretty severe
8 limits of what might happen are now maybe not looking as
9 severe as we should have been exploring. And so I think
10 there's a lot of work to do.

11 COMMISSIONER DOUGLAS: So just as a, you know, a
12 question, you know, obviously it's important that the
13 hydro -- we -- I think we all understand that the hydro
14 facilities sometimes operate at times that are not optimal
15 for the electricity system because of other needs, whether
16 it's permit requirements, white water rafting, ecosystems,
17 species, and so on. Is there -- when that happens and
18 you're generating at times that are potentially lower
19 value, has anyone looked into storing that electricity as
20 opposed to selling it at lower value? And does it happen
21 often enough that it would even be worth putting in
22 batteries or something like that? I'm just kind of curious
23 about that.

24 COMMISSIONER GUNDA: Yeah. Maybe, I want to just
25 give Mark an opportunity to both tie the previous question

58

1 and to you know maybe Mark, you want to kick off?

2 MR. COOK: Sure. Yeah. So just quickly. I
3 agree with Eric on the pump storage. I think that is kind
4 of where it's at. I mean it's the battery that just keeps
5 on giving. We get to reuse the water over and over again.
6 And I think that's -- there's so much value and reliability
7 that comes with that. So that, from the power side, I
8 think that's helpful. Also, you know, more water storage
9 is always beneficial, particularly here in the Southwest
10 and on the Colorado River. When we do get those good
11 years, we really want to be able to hold on to that water.
12 And so just increasing our water storage in general, I
13 think is just going to be a big part of the future.

14 And then as far as the shaping goes, just quick,
15 anecdotally. It was interesting when I first started and
16 we would be able to do our online power system stabilizer
17 testing, you know, in the heat of the day come, you know,
18 noon or 2:00 o'clock or something. And that's all the push
19 down, and we're having the, bringing our guys at night to
20 night be able to do that kind of testing now so that we can
21 have generators loaded up. So that's been kind of fun to
22 see how we've really seen the reshaping over the last few
23 years.

24 And then as far as -- I just lost my train of
25 thought. I apologize. Maybe I'll duck out here and let

1 someone else talk for a minute.

2 COMMISSIONER GUZMAN ACEVES: I know Elliot had
3 his hand raised there, but I do have a follow up for Mark.
4 But Elliot, do you want to go ahead?

5 PRESIDENT MAINZER: Go ahead first, Commissioner,
6 please. And I'll follow after you. Please.

7 COMMISSIONER GUZMAN ACEVES: Okay. Well Mark, I
8 was wondering if you had a response. You know, I think
9 we've heard about some efforts, I don't know how true these
10 are about some pump storage, large scale at Hoover. And is
11 that something? Is your feasibility studies happening
12 there or is there anything that you guys are looking at,
13 particularly on Hoover?

14 MR. COOK: Yeah. So LADWP was doing a pretty big
15 effort and looking to see if there was a pump kind of
16 situation here at Hoover. I just heard a few months ago
17 that that feasibility came back, and it was too costly,
18 essentially, was the bottom line. It ended up not
19 penciling out. So yeah. So that one's not going to go. I
20 understand that they are looking at some other pump storage
21 locations maybe, but it sounds like the one here at Hoover
22 is a no-go for the time being.

23 PRESIDENT MAINZER: Maybe I'll, Commissioner
24 Gunda, I'll take a -- take a question from me. Yeah.
25 Thank you. This question is to Ben. Ben, good to see you,

1 and I'm really happy you're able to join us. I was
2 wondering if you could just talk a little bit more your, a
3 little bit in respond -- response to Commissioner Gunda's
4 question and talk a little bit about some of the non-power
5 constraints that have been a big part of the operation up
6 at the Federal Columbia River Power System for a long time
7 and ongoing discussions. How else are you thinking that
8 local utilization of the Hydro System may change in the
9 years ahead, you know, with these coming temperatures and
10 folks putting in air conditioners and of course, coal plant
11 retirements and other changes in the supply stack in
12 California? Are you -- do you think you're likely to see
13 federal and nonfederal hydro capability show up more in the
14 integrated plans of the Northwest utilities and locking up
15 more of that capacity and less for export to California?
16 How is that changing and how can we track that as a key
17 variable in the -- in the months and years ahead?

18 MR. KUJALA: Thank you. I wish I could give you
19 a really great answer on that one, but I'm not totally
20 capable of predicting where the IOUs are going to go.
21 Certainly, there are rights for utilities in the Northwest
22 to get access to power on the Federal System beyond the
23 utilities that are currently taking power from that, and
24 those rights could be exercised at some point down the
25 road. I think everybody's in a really dynamic place. You

61

1 look at Washington having basically a requirement for 100%
2 clean generation by 2045 and now Oregon by 2040. A huge
3 amount of the load in the Northwest basically is not going
4 to be working for thermal resources or resources that have
5 met any sort of greenhouse gas emissions in the future.
6 And so the existing system that is out there that does not
7 have emissions associated with it might look appealing to
8 some parties in our region.

9 That being said, they might also have other
10 plans. They might be looking to other resources and to
11 balance those needs within themselves. The Federal System
12 is not the only hydro system. There are a lot of hydro
13 projects in the Northwest that are directly controlled by
14 different utilities. And so there's some options. The one
15 that's hit the media recently, certainly we know
16 Northwestern in Utopia, Montana went to PowereX to get some
17 hydropower from Canada. That might be power that is, you
18 know, more locked in the region that might not be exported.
19 So it's hard to say for sure. We do, of course, also just
20 have limits on the ability to export. And so oftentimes
21 we'll see during the evening ramps we're pretty close to
22 hitting that maximum export limit, contracts kind of aside.
23 Do I see us substantially backing off of that? I don't
24 know. I think you would have to see some pretty extreme
25 circumstances.

1 I would want to say, on the storage side, on
2 batteries as well, clearly that's a very promising
3 technology and something that we have seen some real
4 applications for in the Northwest. And again, Northwestern
5 is proposing to build a battery. Portland General is
6 proposing batteries. So we are starting to see more of
7 those come into our region. That being said, I do think
8 that you also want to make sure that you're using the
9 existing system to its maximum storage capability in a
10 really coordinated fashion to not be spending a lot of
11 capital on something that, you know, is augmenting a
12 substandard operation. And so I guess I would say there's
13 so much uncertainty in what we see coming in the next 10
14 years. How much load is going to come onto the grid from
15 transportation. How much load is going to come from
16 electrification buildings. To look at today's dynamics
17 might just not be a good guide for what we think is going
18 to happen 10 years from now and a change in the
19 import/export balance from the Northwest to California is
20 certainly one of the things that we need to be thinking
21 about.

22 PRESIDENT MAINZER: Yeah. I think that's a great
23 answer. And I'll just -- I'll just add one quick point
24 just for those of us here, you know, in California. I
25 think as the -- as the Power Planning Council continues to

63

1 do its long-term planning in the northwest, and as the
2 power pool, the northwest power pool starts really
3 developing its Resource Adequacy Program, we've had that, I
4 think the hand of outreach from folks in the Northwest and
5 a lot of interest in seeing our Resource Adequacy Planners
6 in California working closely with the Resource Adequacy
7 Planners in the Pacific Northwest to really exchange data
8 and really understand how our Requisite Supply Stacks and
9 Demand Stacks are changing so we can get really good, you
10 know, almost close to real time understanding of how
11 conditions are changing and how we may need to adapt here
12 and likewise. So we look forward to staying in touch with
13 you and certainly at the ISO, and I know with the Energy
14 Commission, and the CPUC. Really keeping our staffs
15 communicating on a regular basis so we understand what each
16 other is doing. So it's great to see you.

17 MR. KUJALA: Absolutely. Thank you.

18 COMMISSIONER GUNDA: Thank you, President
19 Mainzer. We do -- we do have, we baked in enough time here
20 so we can have our questions, so whoever wants to go next.

21 Yes. President Batjer, please. Then after that,
22 Commissioner Monahan.

23 PRESIDENT BATJER: Thank you, Commissioner Gunda.
24 I just have a couple minor questions. One for you, Eric,
25 on the Helms Plant. I took that you said that there was,

64

1 minimum was not the word you used, the impact from the
2 drought. I was wondering if there's a concern about high
3 heat evaporation and will that affect that which you all
4 can produce out of the plant?

5 MR. VAN DEUREN: Are you asking about reservoir
6 evaporation?

7 PRESIDENT BATJER: Yes, yes, yes. I'm sorry. I
8 should have been clearer. Yes.

9 MR. VAN DEUREN: No, that's fine. I don't. I
10 don't expect that to impact our generation. You know, we
11 will probably see if the temperatures go up, obviously an
12 increased evaporation, but we see that every summer. So
13 the real key with Helms is just the volume of water we have
14 in the -- in the upper and lower reservoirs.

15 PRESIDENT BATJER: Right.

16 MR. VAN DEUREN: It's large enough that it's more
17 than enough to meet all of our demands and far beyond that
18 so.

19 PRESIDENT BATJER: I know it was apparently a bit
20 of a silly question, but it occurred to me when you were
21 talking about the reservoir levels. And to Mark, when I
22 sat on the Colorado River Commission from Nevada, I -- the
23 mark that we used to worry about, now this was before some
24 of the retrofitting, but some had been done by then, the
25 mark that we concerned ourselves with on the lake and what

1 would happen below that level was 1065. And it interests
2 me that it's lower than, much lower than that now at 950 I
3 think you said. And so is there a prediction in terms of
4 where we're going to be with Hoover being able to pump by
5 the end of, oh say, August, September into October?

6 MR. COOK: There is. Yeah. So the water numbers
7 that we're seeing in those kind of critical elevations are
8 still pretty significant in the water world. So we're kind
9 of taking the power piece of it and lower the elevation
10 where power is an issue when we get down to the 950. The
11 previous number was 1050 for minimum power generation pool
12 and we've lowered that with the new whitehead turbines and
13 other things that we've done. But when we were getting
14 down to those low elevations there's just not a whole lot
15 of water left in Lake Mead, and so the bigger concern does
16 become, hey, we're just about out of water and we need
17 water for our farms, we need water for our cities. And so
18 those 1060 elevations, those kind of elevations are really
19 concerning to folks in the water world for making sure that
20 we have got adequate water supply for the -- for all the
21 demands. So there's been a number of initiatives over the
22 past few years to help shore up the Lake Mead with water
23 conservation and the state's getting together and putting
24 together a drought contingency plan. And so another reason
25 we've had a lot of press this last year is that we're

1 projected -- you know we're likely going to project next
2 month that we will declare a water shortage for the first
3 time ever. And so there will be mandatory cuts happening
4 starting in January to help maintain the lake elevation
5 here at Mead. So yeah, definitely still very concerning.
6 Just not as much in the power side for that stuff.

7 PRESIDENT BATJER: So you don't think there'll be
8 a curtailment of pumping at Hoover by the end of this this
9 Summer?

10 MR. COOK: No. We're projecting pretty normal
11 operations through this through this calendar year and then
12 next year starts the mandatory water cuts.

13 PRESIDENT BATJER: Okay. Thank you.

14 MR. COOK: Yeah.

15 COMMISSIONER GUNDA: Yeah. Commissioner Monahan.
16 Commissioner, you're muted.

17 COMMISSIONER MONAHAN: I'm double muted. Am I
18 sounding okay because I know last time it was spotty? So
19 I'm curious about what you see, and I think it's for any
20 one of the three of you, about the barriers for pumped
21 hydro storage to really accelerate. What would you, like
22 what would you advise us, in terms of how we can support
23 this market?

24 MR. VAN DEUREN: Yeah. That's a great question.
25 You know, the barriers, as I stated earlier, really there's

67

1 a financial component to it and then there's just the
2 timing component to it. There's also, you know, I think
3 from the Commission, from the Energy Commission, having a,
4 you know, a request for it basically, I think on a very
5 united front saying yes, we want more pump storage. And I
6 think that exists today. But even making that stronger
7 will help facilitate that to go forward. That's one area I
8 can see it. I you know, some of this is on the federal
9 side. Some of this relies with the, or lies with our, the
10 state agencies and the process it takes to go through to
11 license a new project is a very complicated and time
12 consuming process. So anything we can do on the state
13 level to help. A I don't want to -- I don't want to come
14 across saying we don't want to do the right thing
15 environmentally, we don't want to do the right thing for
16 the state, we don't want to not comply with the regulation.
17 Right. But the processes are very, it's very time
18 consuming and for lack of a better word, very onerous. So
19 anything that can be done from a policy perspective to help
20 make those processes work smoother and align, you know, on
21 the -- on all of the needs, I think would help -- would
22 help that.

23 MR. KUJALA: So I would say in our region we have
24 a couple of projects that are, you know, pretty far down
25 the permitting path. So there's John Day Pool, Goldendale,

1 going to be some projects that are basically located
2 throughout the region. I'm sure that's probably true
3 elsewhere as well, but a lot of these people have been
4 working on projects, making sure that they've got through
5 permits. They've gotten pretty far down the path.

6 The challenge that we see in our region is kind
7 of a similar challenge that you would see for any resource,
8 frankly, is when you have a really highly variable hydro
9 system, you know, the economics of paying for that storage
10 when there might be many years with a lot of water, where
11 it's just not economic and it's not used that much, it's a
12 real challenge. You really have to be looking to send a
13 strong signal for reliability in a system that, you know,
14 has certain conditions that will lead to those reliability
15 concerns much more aggressively than sort of the average
16 operations. And it really comes down to it's not going to
17 be a market solution. It has to be something that is done
18 through other mechanisms, understanding the importance and
19 the application, but that it gets towards reliability of
20 the system. And so I would say the biggest barrier has
21 been money.

22 COMMISSIONER MONAHAN: Can I ask a follow up
23 question on that one because I mean, I always thought that
24 it was cheaper compared to batteries at scale. Pump hydro
25 is relatively inexpensive compared to batteries and a long

69

1 duration storage. I mean, it's one of the few games in
2 town. So can you just elaborate a little bit more on that?
3 It'll never work out. It'll never pencil out.

4 MR. KUJALA: Well okay. So let me just be clear.
5 I didn't want to say it would never pencil out. I think
6 it's a very good adequacy resource. Now in terms of what
7 it does compared to batteries, batteries just provide a
8 very different thing. The four hour shorter duration
9 batteries. That's one kind of really, it's different than
10 what you might see in these projects. And I will say our
11 pump storage in our region, from one project to the next,
12 the characteristics can be quite a bit different. So you
13 might have anything with a few different sort of pump
14 generator setups where you could get up to 1,000 megawatts
15 or more in capacity, and that's a pretty substantial plant.
16 So of course, you have an economy of scale there, but you
17 also are looking at a bunch of different utilities that
18 might not need that much capability. Batteries are very
19 small, incremental build. So even if they're slightly more
20 expensive and the cost of, of course, batteries is a
21 something that's been on a very severe downward trajectory
22 over time. But even if they are slightly more expensive,
23 the sort of economics and the decisions of building smaller
24 increments has often won out over larger projects just
25 because the risk that is inherent in taking on those larger

1 projects.

2 So, of course, whether, you know, pump storage is
3 more cost effective than batteries depends on the utility's
4 need and depends on the particular pump storage project
5 you're looking at. But that incremental sort of build
6 capability of batteries is a real advantage over pump
7 storage regardless of cost.

8 COMMISSIONER MONAHAN: Thank you. That's Very
9 helpful.

10 MR. VAN DEUREN: Can I add to that because it's a
11 great point. It's like I said, with conventional hydro
12 right now. Not all hydro is created equal. The same is
13 true with pump storage because when we take a look at
14 Helms, it's by far our best asset, right, from an economic
15 perspective. And so to have another Helms would be
16 incredible. And we also had different ways in which we
17 utilize and what how the different markets need those and
18 how the utilities need those. And so, you know, I think
19 all of that kind of plays into when and where and what size
20 and shape makes sense in what location. So but in
21 California, definitely it's, there's definitely a need for
22 it. And like I said, the beauty always to me on pump
23 storage is, or the real benefit, is it's not a 20-year
24 asset. Right. It's a 50, 100, so-on. It's a long, long
25 term asset and solution that is extremely flexible. So.

71

1 COMMISSIONER GUNDA: Thank you so much, Eric.
2 Mark, I don't know if you have anything you want to add.
3 If not, I want to check in with other Commissioners. If
4 anybody else want to ask questions?

5 MR. COOK: No. I think they covered it really
6 well. I agree.

7 COMMISSIONER GUNDA: Thank you. It looks like
8 Commissioner McAllister, you're on, would you -- would you
9 like to? Commissioner, you're muted.

10 COMMISSIONER MCALLISTER: Yes.

11 COMMISSIONER GUNDA: Yeah.

12 COMMISSIONER MCALLISTER: I'm double muted again.
13 So yeah. Just following up on that, I mean totally, I
14 think, you know, we're hearing, and I think we agree that,
15 you know, pump storage has a lot of this long term benefits
16 as a -- as an infrastructure that supports reliability.
17 Are there -- and I guess I would just want to drill in the
18 practical, you know, sort of direction if we can glean that
19 from this session. Are there particular sites or
20 particular projects that would, you know, check most of
21 those boxes, say that, you know, will be relatively long
22 duration, be relatively immune to the swings and snowpack
23 and precipitation year to year. Are there any particular
24 projects you would put at the top of the list in terms of
25 policy support needs?

1 MR. VAN DEUREN: Yeah. That -- it's a good
2 question. There, you know, there are a number of projects
3 right now in various stages in California for licensing,
4 for perspective, right? There's a couple or one in
5 particular, I believe that Eagle Mountain that has its
6 license. Right. And they're struggling to get investment.
7 Now, if when you look at every project, there's some
8 uniqueness to every one. Right. And that's where I think
9 the challenge comes in. And the due diligence, when you
10 take a look at those different projects to decide if that's
11 where you want to invest or not. You know, and it could be
12 anything from this physical location relative to where a
13 utility like PG&E might have our operations, current
14 operations and support facilities for. And so, you know,
15 something that was in Southern California might not be as
16 attractive for a Northern California utility, who's going
17 to own and operate.

18 And so, you know, I don't know that I've got, I'd
19 be hard pressed to say the specific names that I'd say that
20 yeah, go after this one, go after that one right now. But
21 like I said, if you take a look at what's in the FERC
22 docket for licensing and see what's out there, and you
23 know, there -- there's -- it's not a large number. There's
24 about six or so that really sort of get, the names get
25 recycled over and over again, and I think every one of

1 those facilities has a-- has a degree of merit to it that,
2 you know, could be supported, so.

3 MR. KUJALA: Yeah. I think that goes true for
4 the Northwest as well. I will just say, you know, the one
5 detail I would add is some of the plans that I've seen
6 probably are pretty good in terms of everybody has to plan
7 for a dry year and make sure that it's still a feasible
8 project under those conditions. I mean, that's the big
9 part of any sort of project like this. The one detail that
10 definitely would be important when I've looked at these
11 developments is that oftentimes the very first year, they
12 need to draw water from somewhere, depending on where the
13 pool is, depending on the conditions, but it might be a
14 situation where there'd need to be a good year in the kind
15 of first year of operations to really bring the project
16 fully online. And that that would have a certain burden on
17 the amount of water you'd need to go into those projects.
18 But again, it kind of depends on the circumstance of where
19 you are. If you're retrofitting pump generators to an
20 existing pool, you might not have that same issue.

21 MR. COOK: Yeah. Just quickly for me. I don't
22 know if was of visibility into that, but I do wonder kind
23 of what's out there and what could be supported. but I
24 personally don't have knowledge of them.

25 COMMISSIONER MCALLISTER: Great. Thanks, very

1 much.

2 COMMISSIONER GUNDA: Thank you. I just want to
3 ask Commissioner Rechtschaffen, I think you might have a
4 question.

5 COMMISSIONER RECHTSCHAFFEN: No. I don't,
6 Commissioner Gunda. No questions from me.

7 COMMISSIONER GUNDA: Great. I don't if, I mean
8 if we have any other questions from the -- from the dais,
9 checking one more time. Looks like we do not.

10 I just want to take the opportunity to say thank
11 you so much to the three panelists. I think this is
12 a -- this is an extremely important conversation we needed
13 to have. And then thank you for your thoughts on this. In
14 my mind, it just triggers like a need for some sort of a
15 coordination. There's a couple of things that you three
16 talked about, the importance of coordination, hydro's going
17 to be a part of the uh - equation moving forward. How best
18 to use the hydro resources, talked about the benefits of,
19 you know, investing in hydro, and then ensuring that the
20 investments to date are, you know, optimally used to the
21 maximum level. So really, really thankful for your time on
22 this and I want to give these additional minutes to Q&A,
23 potentially from the public. So with that, I'll just pass
24 it back to Heather. Thank you all.

25 MS. RAITT: Thank you, Commissioner. Actually,

75

1 we don't have any Q&A from the public today, this morning.

2 So.

3 COMMISISONER GUNDA: Oh. Thank you. Sorry.

4 MS. RAITT: If you'd like to, we could move on to
5 public comment, so.

6 COMMISSIONER GUNDA: Oh. Great. Please, please
7 do.

8 MS. RAITT: Okay. So thank you again to the
9 panelists and to Drew for that panel. Really appreciate
10 your time and expertise today. So we'll move on to public
11 comment and so RoseMary Avalos is available to us from the
12 Energy Commission's Public Advisory Office to moderate
13 that. Go ahead, RoseMary.

14 MS. AVALOS: Thank you, Heather. Yes, I'd like
15 to mention that please allow one person or organization to
16 make a comment and comments are limited to three minutes
17 per speaker. And if there are several parties interested
18 in commenting, we will reduce the time to a minute and half
19 per person. So I'll start with Zoom raised hands. I'll
20 call on the people with the raised hand on Zoom, and I'll
21 open your line and you'll -- you may need to unmute on your
22 end. Please state and spell your name and affiliation for
23 the record, and after you're unmuted and before commenting,
24 okay. And do not use the speakerphone feature when talking
25 because we may not be able to hear you clearly.

1 Robert Perry, your hand is raised. Go ahead and
2 make your comment, and please spell your first and last
3 name, and any affiliation, mention any affiliation. So
4 thank you. Robert. Okay. It doesn't look like the mic is
5 on for Robert. I'll go on to. Okay. Go ahead, Robert.

6 MR. PERRY: Can you hear me?

7 MS. AVALOS: Yeah.

8 MR. PERRY: Okay. Great.

9 MS. AVALOS: We can hear you now. Go ahead.

10 MR. PERRY: Thank you. Thank you. The sign just
11 came up. Yeah. My name is Robert Perry, R-O-B-E-R-T, P as
12 in P Paul, E-R-R-Y. I'm an energy policy consultant with
13 Synergistic Solutions and this has been a very fascinating
14 conversation. You know, the hydro is a very important part
15 of our overall energy system. And I think that pumped
16 hydro is going to need to be a big part of that. And one
17 thing I would like to, you know, just raise is, you know,
18 we're dealing with drought scenarios, lack of water, but it
19 wasn't too long ago that the Oroville Dam was on the verge
20 of collapse because of so much water in an extreme rainy
21 year. And I think it's just extremely important that we
22 are able to devise systems that can manage that amount of
23 water and in a constructive fashion, preferably through
24 regenerating our aquifers, which are empty and are
25 subsiding, which is threatening our canal system and towns

77

1 in the Central Valley.

2 And I was wondering if anybody has given thought
3 to incorporating aquifers as part of a pumped hydro system,
4 whereas you could, I know that there are plans to kind of
5 open flood plains for natural percolation, but would it be
6 possible to set up some injection well infrastructure so
7 that we could direct excess rain into these empty aquifers
8 so that we could draw upon them as an additional phase of a
9 pumped hydro system? I think, you know, that could serve a
10 number of California's really important goals. And
11 actually, you know, being underground, you wouldn't be
12 subject to any evaporation. And it's a very large capacity
13 resource that could be drawn up.

14 Lastly, I think we also have to think about, you
15 know, pumped hydro is a gravity system and that, you know,
16 serious consideration should be given to gravity systems
17 that don't rely on water. There's American Rail Energy
18 System and these are large utility scale gigawatt style
19 systems and just raising that point as well. And that's
20 the end of my comment. Thank you very much.

21 MS. AVALOS: Thank you, Robert. Our next
22 Commentor is V. John White. Go ahead and open your mic,
23 and again, a reminder, please spell your first and last
24 name and let us know of your affiliation, if any. Go
25 ahead, John. You may speak. You may need to unmute. Go

78

1 ahead, John. Your line is open.

2 MR. WHITE: Thank you. I'm John White with the
3 Center for Energy Efficiency and Renewable Technologies.
4 And once again, I want to thank the Commission and your
5 agency partners, the Public Utilities Commission, and Cal
6 ISO for another really good and important workshop.

7 I wanted to make a suggestion that a subsequent
8 workshop or discussion be held on the question of the State
9 Water Project. There was legislation, SB49, passed by
10 Senator Skinner, which directs CEC and the Resource Agency
11 to take a deep dive in the State Water Project and
12 particularly how its assets can be better utilized for the
13 state's energy and climate goals. As you know, the State
14 Water Project is the largest electricity user in the state,
15 and while they are probably technically in compliance with
16 the RPS, they haven't done much on the system in terms of
17 adding renewables.

18 Secondly, there is a huge amount of investment
19 getting ready to occur in the State Water Project for
20 subsidence, seismic prevention, as well as simple upgrades
21 on a 60 year old system. And as those investments are
22 being considered and planned, there needs to be a good
23 examination of what could be accomplished on terms of
24 adding hydro to the system, in terms of using solar at some
25 of the pumping stations. And so I'd like to suggest that

79

1 as we look at the hydro system and the value that it can
2 provide, particularly the State Water Project, that this
3 interagency process take a look at the State Water Project
4 and get involved and looking at what their future is, could
5 be as well as what we need to do to improve the trajectory
6 that we're on. Thank you.

7 MS. AVALOS: Okay. Thank you, John. And now
8 that concludes comments for Zoom, those on Zoom. We'll
9 move to the phone lines. And as a reminder to phone users,
10 use the -- dial *9 to raise your hand and *6 to unmute.
11 And let me see if we have any raised hands. I don't see
12 any raised hands for the phone line. So that concludes
13 comments. And I'll turn now to Commissioner McAllister.

14 COMMISSIONER MCALLISTER: Great. I see
15 Commissioner Gunda still logged in, but I'm assuming he had
16 to leave around 11:50, so. Well, great. So thanks,
17 everyone, for your participation. I think that wraps it up
18 for this morning session. Looking forward to seeing
19 everyone again this afternoon. Just a reminder, 2:00
20 o'clock, if you can be back. That's a workshop on Imports
21 Demand Response and the Multiyear Outlook. So the second
22 in the four sessions that we're going to do over these two
23 days. Think that was really productive and helpful panel.
24 And I wanted to just ask if any of my colleagues had some
25 brief summary remarks before we adjourn this session until

80

1 the afternoon. President Batjer, President Mainzer,
2 anyone? Okay great. I'm seeing shaking heads.

3 COMMISSIONER MONAHAN: It's a great morning.

4 PRESIDENT BATJER: It's a very interesting
5 session, this morning. Very Interesting. Really thank all
6 the panelists.

7 PRESIDENT MAINZER: I'm good.

8 COMMISSIONER MCALLISTER: I think it did
9 highlight the need for this Westwide planning effort to
10 really, really speaking the same language and having, you
11 know, an integrated conversation really across the WECC,
12 and we didn't talk about it, but perhaps leveraging the
13 WIEB and some of the some of the Westwide resources and
14 forum to dig into some of these topics and make sure we're
15 all speaking the same language across the WECC.

16 PRESIDENT MAINZER: Great point.

17 COMMISSIONER MCALLISTER: Great. All right,
18 terrific. So I think with that, we'll call it a morning
19 and we'll see everyone here back at 2:00 p.m. Thanks very
20 much.

21 (Whereupon the Joint Agency Workshop adjourned at
22 11:58 a.m.)

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of November, 2021.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



November 21, 2021

MARTHA L. NELSON, CERT**367