

DOCKETED

Docket Number:	21-IEPR-04
Project Title:	Energy Reliability
TN #:	240857
Document Title:	Transcript of 7-9-21 for Joint Agency Workshop on Summer 2021 Electric and Natural Gas Reliability - Session 4
Description:	JOINT AGENCY WORKSHOP ON SUMMER 2021 ELECTRIC AND NATURAL GAS RELIABILITY, Session 4: Aliso Canyon Reliability Impacts
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/6/2021 6:56:33 PM
Docketed Date:	12/7/2021

IEPR JOINT AGENCY WORKSHOP
BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:)
)
2021 INTEGRATED ENERGY POLICY) Docket No. 21-IEPR-04
REPORT (2021 IEPR))
_____) RE: Reliability

JOINT AGENCY WORKSHOP ON
SUMMER 2021 ELECTRIC AND NATURAL GAS RELIABILITY

REMOTE ACCESS WITH ZOOM

FRIDAY, JULY 09, 2021

2:00 P.M.

Session 4: Aliso Canyon Reliability Impacts

Reported by:
M. Nelson

APPEARANCES

Workshop Leadership

Andrew McAllister, CEC Commissioner
Siva Gunda, CEC Commissioner
Karen Douglas, CEC Commissioner
Martha Guzman Aceves, CPUC Commissioner
Clifford Rechtschaffen, CPUC Commissioner
Elliot Mainzer, California ISO, President and CEO

Staff Present:

Heather Raitt, Program Manager
RoseMary Avalos, Public Advisor
Jennifer Campagna

Presenters:

Eileen Hlavka, CPUC
Neil Millar, California ISO
Jason Rondou, LADWP
Nathan Barcic, CPUC Walker, SoCalGas
Michele Kito, CPUC
Robert Grimm, Southern California Edison
Michael Colvin, Environmental Defense Fund
Jin Noh, California Energy Storage Alliance

Public Advisor:

RoseMary Avalos

Public Comment:

Marlon Santa Cruz, LADWP
Patty Glueck
Helen Attai
Norman Peterson, Southern California Generation Coalition

I N D E X

	Page
Items	
1. Introduction: Heather Raitt, CEC	4
2. Opening Comments:	
A. Commissioner Gunda	5
B. Commissioner Guzman Aceves	5
3. Presentations: Case Study in the Reliability Interplay between the Electric and Gas Systems - Analyzing Local Electric Reliability Needs Without Aliso Canyon	
A. Eileen Hlavka, CPUC, Assessing Aliso Canyon Natural Gas Facility Closure Options in CPUC Proceeding I. 17-02-002	8
B. Neil Millar, California ISO, Gas-Fired Generation Requirements in the LA Basin	13
C. Jason Rondou, LADWP, LA 100 Study and Gas/Electric Reliability Issues LADWP sees in the Los Angeles Basin related to Aliso	18
D. Michele Kito & Nathan Barcic, CPUC, California's Integrated Resource Planning + Study of Aliso Canyon Futures	26
5. Q&A	33
6. Roundtable: Next Steps and Considerations of Alternatives to Aliso Canyon that Ensure Reliability Moderator: Commissioner Martha Guzman Aceves, CPUC	53
A. Neil Millar, California ISO	
B. Robert Grimm, Southern California Edison	
C. Michael Colvin, Environmental Defense Fund	
D. Jason Rondou, LADWP	
E. Jin Noh, California Energy Storage Alliance	
8. Public Comment, Moderated by RoseMary Avalos	91
9. Closing Remarks	102
10. Adjourn	Error!
Bookmark not defined.	

P R O C E E D I N G S

1
2 JULY 9, 2021

2:00 p. m.

3 MS. RAITT: So good afternoon, everybody. Welcome
4 to this Joint Agency workshop on Summer 2021 Electric and
5 Natural Gas Reliability. I'm Heather Raitt, the program
6 manager for an Integrated Energy Policy Report. This
7 workshop is being held remotely, consistent with Executive
8 Order N-08-21 to continue to help California respond to,
9 recover from, and mitigate the impacts of the Covid-19
10 pandemic. The public can participate in the workshop
11 consistent with the direction in the executive order. This
12 is the fourth session his two-day workshop. And to follow
13 along with the discussion, the workshop schedule and
14 presentations are available on the CEC's website. Our
15 workshops are recorded, our IEPR workshops are recorded, and
16 both a recording and written transcript will be linked on the
17 Energy Commission's website within a couple of days.
18 Attendees have the opportunity to participate today by asking
19 questions or uploading questions submitted by others through
20 the Zoom Q&A feature, or you can make comments during the
21 public comment period at the end of the afternoon. Or, of
22 course, you made submit written comments, are always welcome
23 and information for how to do that is in the meeting Notice
24 and written comments are due on July 23rd. So with that,

1 I'll pass it over to Commissioner Gunda.

2 COMMISSIONER GUNDA: Thank you, Heather. And
3 thanks again for everything you and your team does for these
4 workshops. And I think we have Commissioner McAllister on,
5 myself from CEC, and we have a Commissioner Rechtschaffen and
6 Commissioner Guzman Aceves from CPUC at this point. More
7 leadership may join as we go and just want to welcome
8 everybody for this afternoon session. Thank you to all the
9 staff, the participants, the panelists and the stakeholders
10 for joining this important part of our discussion today. I
11 want to just thank Commissioner Martha Guzman Aceves for here
12 leadership in thinking through this particular panel and then
13 this segment of our workshop. So without any more delay,
14 I'll just hand it over to her to set up the context for this
15 and help facilitate for the rest of the afternoon. Thanks.

16 COMMISSIONER GUZMAN ACEVES: Thank you,
17 Commissioner Gunda. And I know we keep reiterating, but I
18 really do appreciate all of our staff, both the CEC and the
19 PUC staff, and putting these, all of this data before us to
20 really contemplate these tough transitions that we're in.
21 And just to kind of frame a little bit, this afternoon's
22 session, we'll have two panels. And in talking about all the
23 different reliability issues that we're facing, this
24 interplay of the gas and the electric systems and really
25 looking at the particular challenges of the LA Basin. And I

1 want to thank again Commissioner Gunda for giving us this
2 space and all the expertise that is here today to help us
3 think through these challenging dynamics, especially as we
4 all know, we're in a transition to deal with this climate
5 changing so dramatically but keeping all of the reliability
6 on for the safety of our -- of our citizens. I, as you know,
7 the Commission PUC was directed many years ago to open a
8 proceeding on Aliso Canyon. And we have received various
9 important letters from to the Governor Newsom and also
10 previously the Chair of the Energy Commission Chair
11 Weisenmiller. So this is a challenge we've been dealing
12 with, with very clear direction. And our first panelist, or
13 our first speaker, Eileen Hlavka from our team, will get into
14 more details of that proceeding.

15 But essentially the challenge is how do we
16 transition off of this resource that we've heard so much
17 today and yesterday of its vitality to our reliability and
18 our economic hedging. And so that is the challenge. We'll
19 have a panel really talking about in the first panel, what is
20 that need? Let's talk about the different scenarios that
21 have been done so far to really determine what is the, not
22 just the BTU need, but the electric generation need. And
23 we've heard a couple of folks mention this morning and maybe
24 yesterday as well this term, Minimum Local Generation. And
25 it kind of goes to what Elliott was talking about that, you

1 know, our 1-in-35 scenario doesn't really have that full
2 coverage for the noncore and particularly the generation. So
3 there's been this development of this Minimum Local
4 Generation and it needs more attention. You know, there's
5 not agreement there. And so that's one thing that that first
6 panel will be talking about as well as what is that local
7 that, so let's say, take that concept of minimum local that
8 what is it, how is it derived, is it in the basin, does it
9 require new transmission, etcetera? So having that need well
10 defined is a big part of our challenge, as well as the second
11 panel which we'll get into. And that will be more of a
12 roundtable discussion. And I encourage all of us to really
13 engage in that discussion and talking about what are those
14 alternatives. And I know we've -- I've certainly been
15 focused about talking about resource alternatives, generation
16 alternatives, local generation alternatives, but as we got
17 into the last panel as well, some of these strategies may
18 also look at, you know, what are other hedging approaches
19 that we can do, contracting alternatives, perhaps, or even
20 other ideas that we haven't yet talked about.

21 And finally, I just want to recognize that what
22 we're talking about this afternoon is not a new issue,
23 including the alternatives, even when the blow out occurred,
24 we'll -- many of you will remember that there was direction
25 from the legislature to procure electric storage in order to

1 deal with this issue of less dependency on Aliso. So the
2 strategies and the alternatives are not necessarily new ones,
3 it's much like we've talked about in our overall reliability
4 situation that we're a little behind in terms of these
5 investments. We're significantly behind if, from my
6 perspective. So there has been much, you know, not
7 overwhelming amount, but I think less than 100 megawatts of
8 procurement for sure that's come -- that's been directed to
9 deal with the Aliso dependency for electric storage. But
10 that is just -- it's just the beginning. And I think what
11 we're looking for in that second panel is also what are some
12 more of these strategies that are no regrets strategies. So
13 I think with that, I'll turn it back over so we can get
14 started. Thank you.

15 MS. RAITT: Thank you, Commissioner. This is
16 Heather. I'll go ahead and introduce our first presenter.
17 So we're going to have a series of four presentations. And
18 first is Eileen Hlavka. I am so sorry, Eileen. I tripped
19 over my tongue. But Eileen is a senior energy analyst on gas
20 policy and reliability at the CPUC. Go ahead.

21 MS. HLAVKA: Thank you, Heather and good afternoon,
22 everyone. I will be introducing how we're assessing Aliso
23 Canyon Natural Gas Storage Facility Closure Options Within
24 the CPUCs Proceeding I.17-02-002, which is the proceeding
25 that the Commissioner was discussing. As you can see, Aliso

1 Canyon is not the largest storage facility in the state of
2 California, but it is the largest of the four gas storage
3 facilities that are located in Southern California. Next
4 slide.

5 I will cover the proceeding in which the CPUC will
6 decide whether and how to close Aliso, a little about that.
7 And a lot of this is the analysis of the science of the need
8 and the ways to fill it, and then I'll end with a little
9 about our current status. Next slide.

10 As Commissioner Guzman Aceves discussed, the
11 Proceeding's purpose, as [indiscernible] as one of the
12 discussion topics today, is to analyze the potential and the
13 options for closing the Aliso Canyon Facility. The current
14 point we're at is analyzing those replacement options, not
15 meaning that the other point has passed, and our contractor,
16 FTI, Inc. is doing that analysis. We've held the first two
17 of four workshops and they're currently in the process of
18 doing lots of analysis and working on their report. Next
19 slide.

20 So what approach is FTI taking to this analysis?
21 The first piece is to identify the need. That is to say the
22 shortfall to the energy system if Aliso is closed if no
23 action is taken to fill it, to fill that need, what is the
24 amount of gas demand which would be curtailed on a peak day,
25 which is a once-in-10 years cold winter day, which is the

1 planning standard, which Melissa and Jean mentioned this
2 morning, which is the point of standard for the gas system.
3 And that's because gas demand is still expected to be winter
4 peaking. Their analysis also includes pipelines and other
5 gas storage facility assumptions that are set, more or less,
6 based on their current capabilities.

7 The next step is to identify options if Aliso were
8 to be closed, as in sets of energy services to fill that
9 shortfall. These are referred to as portfolios. And for
10 each of those, FTI is analyzing them for 20 years out, that
11 is modeling the gas and electric and system costs. This
12 analysis takes into account all of WECC, so the shortfall is
13 system-wide, and this is consistent with the level of detail
14 that the CPUC uses in its process of evaluating electric
15 utility Integrated Resource Plans, or IRP. And also uses,
16 FTI also uses inputs which are inputs that are used in the
17 IRP process. These reflect seasonal and daily variation, and
18 they are using a similar software. You may note that in the
19 usual IRP process and for ordering generation, locations
20 considerations are generally considered subsequent to that
21 process. Next slide.

22 FTI's preliminary estimates are the gas, for the
23 size of that shortfall, re the gas equivalent of around 4,500
24 megawatts in 2027, and just over half of that in 2035. The
25 difference between those years is because demand is going

1 down a bit over time. And these two numbers for gas or
2 electricity, these are alternatives. They're -- and they're
3 not additive. It's the same thing in different units. I
4 would emphasize these numbers are very preliminary. They
5 will be updated with both what we feel are more realistic
6 lower levels of how much gas is assumed to still be remaining
7 in the other storage fields on that peak day and with
8 additional renewable energy that's reflected in the latest
9 transmission planning process, amounts. And also looking at
10 the impact of the recent Mid-term Reliability Procurement
11 Order that the CPUC ordered a few weeks ago. So these
12 numbers could go up, they could go down. Please don't hang
13 your hat on them just yet. Next slide.

14 And so what are the five options to provide those
15 services that FTI is looking at? These portfolios are
16 firstly, Gas Infrastructure, upgrading or repairing the gas
17 infrastructure along its current pathways. It's kind of a
18 baseline for comparison. Next, a Demand Reduction
19 Portfolio. This will include building electrification,
20 energy efficiency, and potentially gas demand response, as
21 you'll see these items on the next slide as well. And a
22 portfolio that is called IRP Mix. This is the generation
23 portfolio, but it's not just generation, of course, that's
24 renewable generation, and storage, and electric demand
25 response. The fourth portfolio is Reflecting the Concept of

1 New Electric Transmission, and the fifth portfolio will be
2 designed to combine whatever is deemed best from the first
3 five. Sorry, first four. Next slide.

4 If one of these portfolios is adopted, then what
5 would be the next steps that the Commission could take in
6 order to try and implement it? That depends very much on the
7 option. I'm not going to walk through all of those on this
8 slide but do note that Demand-Side Gas contains different
9 pieces. That's why it's in different rows. That's all one
10 portfolio, which is named Demand Reduction in the previous
11 slide. Apologies for the inconsistent naming. The two here,
12 which focus on electricity, are ones where you see some
13 highlighted items that have to do with local reliability. If
14 the one, or parts of both of these were adopted, likely a
15 process for implementing them would be to take those ideas
16 and put them as inputs into the CPUC's Integrated Resource
17 Plan, their IRP process, which is where CPUC analyses and
18 orders procurement, and sends portfolios for analysis to
19 CAISO regarding Transmission Resource Adequacy of the CPUC
20 and Transmission Planning at CAISO would then look at the
21 local reliability in further detail. Next slide.

22 So where we are now is FTI will finish up this
23 analysis this year and then it will be up to the Commission
24 to determine what sorry, the California Public Utilities
25 Commission within this Proceeding, to determine what the next

1 steps will be. You may have seen that a Revised Scoping Memo
2 about this was just issued hours ago and it added some detail
3 to these next step questions and the scope of the Proceeding.
4 In general, it centers still around whether to close Aliso
5 and if so, by what process, which portfolio will be used to
6 tee up resources to replace it, or will some other approach
7 be taken. And a question I think we'll hear lots more about
8 today is what other analysis do we want to have in order to
9 inform these decisions or their implementation?

10 I am happy to answer questions, and with that, I
11 will turn it back over to Heather.

12 MS. RAITT: Thank you, Eileen. So next is Neil
13 Millar, and he is the vice president of Infrastructure and
14 Operation Planning at the California ISO. Go ahead, Neil.

15 MR. MILLAR: Thank you very much. And thank you
16 for the opportunity to speak today on these issues. If I
17 could move to the next slide, please.

18 What I was wanting to do is focus today primarily
19 on the local capacity requirements and the local issues that
20 affect our need for this generation, that could also spill
21 over into implications for Aliso Canyon, whereas Eileen was
22 also touching at a higher level on more system issues, and I
23 see that's also being addressed later in today's
24 presentations.

25 So first, I just wanted to reiterate that there are

1 probably three major areas where we are conducting
2 transmission related studies that affect our consideration of
3 local capacity needs. First, each year we prepare annual
4 local capacity studies that are focusing on the next year's
5 needs, as well as a projection five years out. And then
6 every second year as part of our annual transition planning
7 process, we also include a 10-year projection. Another piece
8 of information that we started to include as a standard
9 product in that work is an assessment of the potential for
10 batteries to replace generating resources, recognizing that
11 batteries also have unique requirement for the charging
12 capability. So it's not only their discharge capability that
13 needs to be considered, but the opportunities for charging.
14 And I'll touch on that in a bit more detail later. And
15 transmission alternatives have also been assessed in a number
16 of Annual Transmission Planning Processes, looking at
17 potential for transmission upgrades into the LA Basin area,
18 particular to reduce the reliance on gas-fired generation.

19 We consider those needs from a reliability policy
20 and economic perspective, but we also recognize that the need
21 for the generation has to be considered both from a local and
22 system need as there's little economic benefit in reducing
23 gas-fired generation capacity requirements for local reasons
24 if the generation is also needed for system capacity. We
25 have also conducted additional studies specifically focused

1 on supporting the CPUC's efforts in the Aliso Canyon
2 proceeding, and I'll touch on that in a different detail as
3 well. Next slide, please.

4 So the LA Basin area is one of the more complex in
5 the system to study as there are multiple transmission
6 constraints that result in overlapping needs. Primarily
7 though, when it comes to the Aliso Canyon issues, the focus
8 is primarily on the Western LA Basin boundary as well as the
9 overall LA Basin. There is an interplay that we do have to
10 take into account to some extent, with the San Diego Imperial
11 Valley area as well. But the primary focus is on the Western
12 LA Basin area. Next slide, please.

13 On this graph, this slide I've set out an example
14 out of the 2022 Annual Local Capacity Study showing the
15 potential for the Western LA Basin subarea and the overall LA
16 Basin area needs to be met with incremental storage. This
17 work already takes into account storage projects that are
18 either built or already approved. But we assess the ability
19 for additional storage opportunities to replace gas-fired
20 generation. The work not only has to consider the low
21 profiles and the capability for a typical 4-hour storage
22 product to meet local needs, but also has to take into
23 account the charging requirements, which could be met either
24 importing energy from outside of the area or from other in
25 Basin gas-fired generation in the off-peak hours. So there

1 is still a potential there for the use of gas-fired
2 generation for charging if there are transmission constraints
3 that prevent the charging from being done by imported energy.

4 And we provide in this outwork typically two sets
5 of values, the maximum potential, assuming the storage
6 duration is longer than a typical 4-hour product, but then
7 also the capability of a 4-hour product, which for the
8 Western LA Basin in this work was 580 megawatts, and for the
9 overall LA Basin area, it was an opportunity for 1,000
10 megawatts or 1,020. Next slide, please.

11 I won't go through all these different
12 alternatives, but this was a sampling of over the last two
13 years or two -- last two Transmission Planning Cycles over
14 the last two years, we have studied a number of transmission
15 alternatives that were also, some of them were a combination
16 of transmission and storage, recognizing that an additional
17 transmission upgrade can help meet shared on-peak capability
18 that can also supplement the off peak charging capability.
19 So that interaction needs to be considered. And these are
20 some of the projects that we've studied over the last few
21 years. But as I mentioned, the economic advantage of
22 replacing the local capacity was considered minimal because
23 the resources were still being required for system purposes
24 based on the portfolios that are developed, working with the
25 Public Utilities Commission and the Energy Commission. Next

1 slide, please.

2 So I also mentioned the other studies that have
3 been conducted to support the Aliso Canyon Proceeding. In
4 particular, this is the flow of information that we would
5 prepare power flow studies assessing the generation needs,
6 considering contingency conditions on the transmission
7 system. From that work, we would develop specific gas-fired
8 generating unit dispatch assumptions that were then fed into
9 the Public Utilities Commission's production cost modeling
10 exercise to get daily flow requirements. And that
11 information then in turn fed into the broader hydraulic
12 modeling. So to support this work we had looked at, this was
13 done in 2019. We looked at different seasons, both summer
14 and winter, and for the three specific years to support that
15 effort and the results fed through into the modeling
16 exercise.

17 This really highlights one of the important points
18 for us is that we can study the electrical needs and paint a
19 picture of the generation requirements, but at the end of the
20 day, we really need to work on a comprehensive study and
21 comprehensive effort that assesses the overall gas supply
22 needs that reach beyond merely the ISO gas-fired generation
23 requirements. So we can help paint part of the picture, but
24 we need the coordination with the overall gas supply picture
25 to understand potential implications. And we believe that

1 works moving forward very well, but that's a critical
2 component. So with that, I'll actually wrap up my
3 presentation today and I'll look forward to questions. Thank
4 you.

5 MS. RAITT: Thank you, Neil. Next, we have Jason
6 Rondou, Director of Resource Planning, Development and
7 Programs at the Los Angeles Department of Water and Power.
8 Go ahead, Jason.

9 MR. RONDOU: Great. Thank you and thank you to the
10 Commissioners and staff for the continued phenomenal
11 engagement with LADWP. We want to just recognize that
12 because that is something that we had asked for, you know,
13 related to this and other ongoing SB100 reliability efforts.
14 And we feel like that request has been met and then some. So
15 we just want to acknowledge that.

16 I do want to talk about LADWP's LA100 effort, our
17 100% Renewable Study that we recently completed with the
18 National Renewable Lab, and then talk about that in the
19 context of Aliso Canyon.

20 So on the next slide, there's background on this
21 study and I think many folks are familiar with this. But for
22 those who are not several years back, our city council
23 directed us to not just set a goal for 100% renewable energy
24 and 100% clean energy, but to determine what the major
25 investments that are required to get to 100% renewable

1 energy. So what is -- what are the transmission investments
2 that we need to make, what are the, you know, distribution
3 and supply investments that we need to make, but also what is
4 the impact on costs? What is the impact on environmental
5 justice? And what is that going to mean for the local
6 economy and jobs as well? And so we kind of looked at this
7 on the next slide in four major categories, four major paths
8 towards 100%.

9 The first was really just, you know, what if we
10 complied with the existing law as we, you know, understand it
11 and as we know it today, SB100. This gave quite a bit more
12 flexibility in the resources and the timing. But what if we
13 said we wanted to do something a little bit more aggressive?
14 So what if we wanted to reach 100% by 2035 and we don't want
15 to use things like biofuels or natural gas with renewable
16 offsets. And that's represented by the top right scenario
17 called Early and No Biofuels.

18 Then we looked at scenarios and we said, well what
19 if we could build new transmission, you know, recognizing
20 that it's very difficult to do? What if we could build new
21 transmission and bring into the city more renewable resources
22 to help the, you know, to facilitate the transition. And
23 then the final scenario was, well what if we recognize that
24 that was a very difficult thing to do and we limited the
25 amount of transmission. Now there would be upgrades and all

1 of that, but there wouldn't be, you know, significant new
2 transmission corridors. And what that meant is really maxing
3 out local resources. And on the next slide, you'll see the
4 range of costs for these various scenarios.

5 So you'll see that these costs range from, actually
6 first, we'll talk about the capacity change, and then in a
7 moment we'll talk about the costs. The capacity really
8 doubles under all of the scenarios. So today we have about
9 10 gigawatts of capacity on our system right now. So the
10 investments that we need to make over the next 25 means that
11 we will double that. So all of the wind, all of the solar,
12 all of the, you know, storage and all of that will double
13 under any path that we take to get to 100% renewable energy.
14 And on the next slide, you'll see the cost range from about
15 57 to 87 billion dollars. And this is 87 -- 57 to 87 billion
16 new dollars. So on top of all the investments that the City
17 of Los Angeles, LADWP have made, on top of all the debt
18 obligations that we have and all of the planned investments
19 that we have, this is incremental to that. And I'll mention
20 in a moment why electrification means so much to how those
21 rates translate, how those dollars translate in the cost.
22 But before we do that on the next slide, you'll see what that
23 means for greenhouse gas emissions, not just for the electric
24 sector, for the power sector, but also the choices and the
25 investments that we make on the electric grid also can mean

1 dramatic reduction in greenhouse gases for transportation and
2 for buildings. And you can see over the next 25 years, under
3 all four of these scenarios, a really dramatic reduction of
4 life-cycle greenhouse gases. No matter how we get to 100%,
5 no matter when we get there, you see a dramatic reduction.
6 But what you'll see, and this is relevant to our discussion
7 today on the next slide, you'll see our gas usage.

8 So I'd like to draw your attention to the lower
9 chart. That represents the High Load Scenario. And the
10 reason I want to draw your attention to that is high load is
11 really critical to our ability to do this successfully. So
12 this means what if we saw the electric vehicle and the
13 building electrification that we hope to see, that we all
14 hope to see? And so you could see that we have just under
15 40,000 GBtu of gas usage today and 2020. Now, if you look at
16 the next in the 2025, I want to draw your attention to the
17 blue stacked chart, which shows a dramatic reduction to about
18 20,000. And the reason I draw your attention to that is the
19 path that we're going towards is likely going to be on the
20 2035 timeline. And then if you go to the set of bar charts
21 that represent -- are represented by 2030, you see that has
22 now dropped even below 5,000. So you see a really dramatic
23 reduction in gas consumption under the 2035 Scenario.
24 Now I want everyone to kind of remember that because on the
25 next slide you'll see that while our gas consumption drops,

1 the capacity is really, really important.

2 So before we get to that, all of the scenarios that
3 we studied as part of LA100 had common elements, which means
4 we don't necessarily need to wait to adopt a certain scenario
5 to actually start to make significant investments. All of
6 the scenarios show that we need a lot more flexible load, a
7 lot more customer rooftop solar. We already have the most
8 solar of any city in the country, but that needs to grow
9 significantly. Obviously, renewable energy and storage, but
10 not just utility scale storage, but also storage within the
11 city. So a lot of customer side storage, very likely storage
12 sited in or near our generating stations.

13 And then the last two are very interesting, the
14 transmission piece, no matter what scenario we go forward
15 with, even if it's a scenario where we limit the amount of
16 new transmission, there still is a significant amount of new
17 transmission that's required over the next 10 years. And
18 then finally, every scenario of the LA100 studies showed the
19 need for renewable fuels capacity within the City of LA, a
20 minimum of 2,600 megawatts, which is actually just under the
21 amount of capacity that we have today within the City, about
22 roughly 3,400. And that's at the lowest and the highest end
23 of the study showed growth in capacity. So what this means
24 is not the continuation of using gas as we use it today.
25 It's the dramatic reduction in the amount of gas that we use,

1 however, especially in the short term, our peak demand will
2 continue to be there. And then ultimately when it's
3 decarbonize and we're making very serious investments in
4 hydrogen, but whether it's hydrogen or biofuels, when it's
5 eventually decarbonized, the peak usage will still be there.
6 But the volume is going to drop significantly.

7 So on the next slide, since the conclusion of that
8 study, the mayor announced a new ambitious goal of reaching
9 100% carbon free by 2035, with a very aggressive interim goal
10 of 80% renewable and 97% carbon free by 2030. So less than
11 10 years away. And then he also made reference to
12 significant investments in hydrogen technology that I'll talk
13 about on the next slide.

14 So I want to first touch on our investments in
15 hydrogen at the Intermountain Power Facility out in Utah.
16 That location is about as good as you can get for investments
17 in hydrogen. There's a significant amount of space. There's
18 the existing transmission that can bring that power into the
19 City of LA. There are salt caverns that can be used for
20 storage, and there's access to many types of rural powers,
21 wind and, wind and solar, and so on. But we need to do that
22 locally within the City as well. And the degree of
23 difficulty is going to grow dramatically. So on the next
24 slide, I want to talk about the considerations for planning
25 around Aliso Canyon's closure.

1 So I mentioned the transmission, especially over
2 the next 10 years, it's going to be critically important
3 because while the winter peak for the gas system does not
4 coincide with electricity peak, it does coincide with all of
5 the maintenance and upgrade outages that we will have to do.
6 And I mentioned that we have an unprecedented amount of
7 transmission work that needs to be done over the next 10
8 years. We also have the very significant decarbonization
9 effort within the City for decarbonization generation -- for
10 in-basin generation. The difficulty of that is going to be
11 very high and the investments are starting now for that. And
12 on the next slide, we have the consideration for electricity
13 demand within the City.

14 And I want to mention something that's very
15 important before we end on -- in a moment. While the cost
16 range from 57 to 87 billion dollars, translating that into
17 rates and affordability is absolutely dependent on
18 electrification. So if we see the electrification that we
19 hope to see, the rates will roughly track inflation. If we
20 don't see the electrification, the rates will grow
21 significantly. So that's an oversimplification, but that's
22 one major takeaway from the LA100 Study that we need to
23 understand, and that gets back to the reliability of the grid
24 and the recognition that demand is going to be growing.

25 We also, in 2028, have the Los Angeles Olympics,

1 where we'll have 2 million more people in the city of LA, in
2 the middle of the summer as well. We also have a history of
3 low frequency, high impact events where all of our
4 transmission import capability was compromised. There were
5 three wildfires over the last little over 10 years, and then
6 the Northridge earthquake did the same thing. So in the last
7 slide, I'll just wrap up here with a couple of really quick
8 points.

9 And I'll skip over the complexity of the grid,
10 because I think we all understand that, and I alluded to a
11 lot of that throughout the presentation, but I want to
12 emphasize the need for sub hourly modeling, and annual
13 ongoing revisiting of this as things change, as policy
14 changes, as technology changes it, it's going to impact our
15 approach to this. And then on my last point, on the approach
16 to resiliency. So for those low frequency, high impact
17 events are very important. And I'll end by thanking everyone
18 again for the continued engagement with LADWP. It's
19 definitely sincerely appreciated. So I'll end there. I look
20 forward to questions.

21 MS. RAITT: Thank you so much, Jason. So our last
22 presenters are Michele Kito who's a supervisor for Resource
23 Adequacy at the CPUC, and Nathan, excuse me, Nathan Barcic,
24 who's a supervisor for the Integrated Resource Planning at
25 the CPUC. And so Nathan's going to go first. So go ahead,

1 Nathan.

2 MR. BARCIC: Thanks very much. And you did get it
3 right. And thanks for having me. So we can move maybe two
4 slides ahead in the name of time. I think that I can assume
5 some level of knowledge in the audience of the CPUC's IRP
6 process, but I'll give a very quick overview before moving
7 on.

8 IRP is CPUC's Electricity Resource Planning
9 process. It was established about five years ago and its
10 purpose, but if I could sum it up very quickly, is to meet
11 state goals in the electric sector such as GHG targets,
12 reliability targets, and do so at these cost. There's a list
13 of kind of applicable legislation here that you can use for
14 reference, but I think on the next slide is where we can
15 start getting into the question of, well how do we do this
16 planning?

17 We do kind of a mix of qualitative and quantitative
18 analysis to do the planning that happens in the IRP process.
19 On the quantitative side, we leverage two models. One model
20 type is capacity expansion modeling, which, if I can
21 oversimplify, tries to answer the question of what are the
22 new things that you need to meet your goals. The RESOLVE
23 that, or the model that we use for that is called RESOLVE,
24 which a lot of people associate with the IRP process. But
25 there is a second model that does production cost modeling.

1 It's called SERVM. And its main purpose here is to validate
2 the portfolios that we're studying, usually the ones that
3 come out of RESOLVE, particularly for reliability, for
4 operations, and for emissions, to make darn sure that we're
5 actually moving on with the best and most actionable
6 information possible.

7 On the next slide, we can start digging into kind
8 of the difference between system level analysis and local
9 analysis, that a couple of the speakers have already touched
10 on, with kind of a general statement that, for the most part,
11 our models in IRP are configured to look at things from a
12 system level. So RESOLVE is mostly system level analysis.
13 It sees plant classes, not individual plants. And it has a
14 relatively simplified characterization of local area
15 dynamics, which I'll get into in a second.

16 SERVM does the individual generators, but it
17 doesn't produce new portfolios of resources like RESOLVE
18 does. So the models act very well as a tandem, basically as
19 complements. But neither one on its own, I think is going to
20 be the sole, you know, place for analysis that could support
21 decision making like what we're contemplating here. On the
22 next slide, we'll go a little bit further into our capacity
23 expansion models, characterization of local dynamics.

24 For the most part, they're based on CAISO'S local
25 capacity study, which I think Neil started to go into, but

1 I'll reiterate a little bit. It's used to set, at least from
2 a RESOLVE perspective, a local generation requirement that
3 RESOLVE uses that's reflected by a minimum amount of gas
4 generation that must be retained in all local areas
5 identified. RESOLVE has a gas retention functionality that
6 we instituted a couple of years ago and it, where it can
7 choose to not retain any of the other gas generation seen by
8 the model. So not that which has been tagged as needed for
9 local for CAISO rate payers.

10 So basically, if it sees some modeling year out in the
11 future and there's resource needs that dictate that, hey, it
12 might not be most economical for CAISO ratepayers to retain a
13 gas resource that is, you know, maybe better replaced by
14 something else, the model actually has the option to not
15 retain that resource. But again, that function currently
16 does not apply to gas resources tagged as needed for local
17 needs. This input also contains an assumption that maybe
18 should be poked at, that the generation to support local
19 needs must be new -- or must be gas. And that's something
20 that maybe with future analysis we can examine.

21 On the next slide we did a quick summary of the
22 things that, or actually, if you can go back one slide. The
23 things that IRP has kind of already either done or is already
24 in flight to facilitate large amounts of clean energy
25 procurement, potentially overlapping with some of the stuff

1 we're talking about here for Aliso. So there have been two
2 large procurement orders that emanated from this cycle of
3 IRP. They're both listed here. One of them was already
4 referenced. It was adopted a few weeks ago. It's for 11.5
5 gigawatts of net qualifying capacity for the years 2023
6 through 2026.

7 In producing an analysis for the need determination
8 of that 11.5 gigawatts, we had to make a series of
9 assumptions. One of them, about 800 megawatts of qualifying
10 capacity was an assumption around that many megawatts not
11 being available in mid-decade because of what we called
12 unidentified retirements. So basically things that we didn't
13 see coming that conceivably could be related to, say reduced
14 access to storage or gas storage at Aliso. So we did solicit
15 party comments specifically on the possible relationship
16 between this procurement and Aliso itself. Neither of the
17 orders listed here contain geographic specificity of where
18 the resources needed to show up. But in prior iterations of
19 the predecessor proceeding to IRP, which was called LTPP,
20 there is a precedent for ordering at a geographic level where
21 needed. IRP, as Eileen mentioned, has also provided electric
22 sector information to FTI's Aliso study.

23 On the last slide we can start getting into what
24 else could be done to support analysis for Aliso Canyon
25 decision making. At a high level, you'd want to start with

1 really simple questions, like is it a modeling analysis or is
2 it a qualitative analysis that you want to do? And if it's
3 modeling, is that some sort of optimization like you, one
4 would do with a tool like RESOLVE? Is it a reliability study
5 like one might do with Plexus or SERVUM. Is it some sort of
6 enhanced resource stack of resources needed for local
7 reliability? Is it something else? After that you'd want to
8 look at, you know, if and how one could capture system level
9 impacts and local level impacts at the same time? Because
10 right now, generally speaking, they tend to be done
11 separately.

12 And then we'd also have to look at roles and
13 responsibilities. So that's not just intra agency, but
14 across agencies and planning bodies because I have a feeling
15 this is going to be a large cooperative effort. Energy
16 Division stuff has already started to think about how FTI
17 studied, that Eileen discussed, could be supplemented with
18 further analysis. And it could again involve some
19 combination of quantitative and qualitative study, plus maybe
20 more kind of look at transmission's role, if any, in solving
21 the problem. But right now, again there's no one tool, to my
22 knowledge, that can do all this, you know, in one place, like
23 a one stop shop. A lot of coordination is going to be needed
24 and we look forward to doing so. I look forward to answering
25 questions and I think now I should pass things off to

1 Michele.

2 MS. RAITT: Michele.

3 MS. KITO: Hi there. I think I was -- my
4 apologies. So in the interest of time, I'll skip over a
5 summary of the CPUC's Adequacy Program, assuming that most
6 people know and understand it. I'll just talk a little bit
7 about local system reliability and finally discuss gas
8 prices, electricity prices, and the stability of the
9 electricity market.

10 So let's start my video as well. Sorry about that.
11 So let's see, in terms of the Local Study that Neil just
12 discussed, the basic idea is you're meant to determine the
13 resources that are necessary to serve load on a high, hot
14 day, so a 1-in-10 day with two large elements out of service.
15 So that might be two transmission lines, n-1-1. So in terms
16 of what that means, I just wanted to put a little context
17 around this. The 1-in-10 peak load for the LA Basin is
18 18,930 megawatts. The local requirement is 6,127 megawatts.
19 And these are all for 2021. The total generation in the LA
20 Basin, the picture that Neil showed was, is about 9,664
21 megawatts, pretty much most of which is gas. By my estimate,
22 8,600 megawatts of the 96 available are gas-fired resources
23 and 6,127 are needed.

24 So just in terms of local and system reliability,
25 you just want to think about winter and summer. In winter,

1 gas demand from core customers is high, but electric usage is
2 low. But you still need to ensure that there's sufficient
3 gas to meet the in-basin resources that are needed for local
4 reliability. So and you need those to serve load in case two
5 transmission lines go down. That would be the local
6 reliability portion of it.

7 In the summer, gas demand for core customers is
8 lower, but of course, demand for electric generation is
9 higher and needed on peak days to run pretty much every gas-
10 fired electric generator on the entire CAISO system. So a
11 bunch of folks have discussed this in more detail. But the
12 question we're obviously trying to answer is how much gas we
13 need to serve both electric and gas customers.

14 And finally, I just want to mention something that
15 Jean Spencer discussed earlier, it's not just about
16 reliability, literally keeping the lights on, but it's doing
17 so at an affordable price. So we have experienced gas price
18 spikes over the last several years, which have led to
19 electricity price spikes. And these high gas prices can have
20 significant effects on the electricity market price and
21 that's because the marginal unit sets the price for the
22 entire -- the entire market, which Jean spoke about. And so
23 it goes without saying, but I'll say it anyway, these price
24 spikes can adversely affect customers and have a
25 destabilizing effect on the electricity market. Customers

1 can pay significantly higher bills, entities can go bankrupt
2 and ultimately, it could set us back in terms of our ultimate
3 greenhouse gas reduction goals. And that's all I have for
4 the RA portion. Thank you.

5 MS. RAITT: All right. Thank you, Michele, and
6 Nathan, and Jason, and Neil, and Eileen. And so if you all
7 wanted to just go ahead and put your videos on and you can
8 take questions from the dais.

9 COMMISSIONER GUNDA: Commissioner Guzman Aceves,
10 please go ahead and start with you.

11 COMMISSIONER GUZMAN ACEVES: Okay. Well, I see
12 Commissioner Rechtschaffen is eager, so I'll let him go
13 first.

14 COMMISSIONER RECHTSCHAFFEN: I'm not that eager to
15 that I know how to turn my mute off. I had a question for
16 Jason. There's a line in your slide that says you need -- we
17 need an approach to resilience in Aliso modeling, and it was
18 -- you were saying that in the context of these low
19 frequency, high impact events, but what specifically do you
20 mean? Could you elaborate on what specifically you mean?
21 What do we need?

22 MR. RONDOU: Yeah. So I can talk about the
23 approach to those types of events that we've taken in our
24 modeling from the power sector side. I wouldn't know, I
25 wouldn't be able to give an educated feedback on how best to

1 do that for the gas system. But maybe our perspective on
2 electricity modeling can shed some light. So for the LA100
3 Study, the approach was to take major assets out of service
4 for a period of time, whether that was months or years, and
5 then determine what additional capacity would need to be
6 built out. So if we took that, took out a critical
7 transmission line, four-years' time, then the model would
8 build out additional resources needed to make up for that.

9 The other perspective that we've looked at this for
10 is when we run different scenarios, should certain events
11 happen. The, I'll use that the Saddle Ridge fire in 2019
12 where we lost all three of our transmission lines that come
13 into the City of LA. So we lost nearly all of our import
14 capability and we had to rely on local resources. In that
15 scenario, we were 135 megawatts away from curtailing
16 customers. Luckily, at the time, we had 400 megawatts of
17 solar so that helped out a little bit and then we have, you
18 know, 3,400 megawatts of gas capacity in the city. So
19 between that, we were able to make sure that there was no
20 interruption of power, but we were very close.

21 So what we do when we look at different model
22 scenarios is we identify, should an event like that happen
23 again, how many customers would potentially be curtailed
24 under various scenarios that we're modeling now? I don't
25 know if that sheds light onto, you know, as to how that's

1 being done for the gas system. You know, maybe that's
2 already being done. But I think there needs to be some kind
3 of recognition that these events happen. They happen more
4 frequently. And when they do happen, it's often quite a bit
5 longer than, you know, four hours. In many cases, it can be
6 half a day to multiple days.

7 In one case, [indiscernible] caught fire in 2016, I
8 believe it was. We had assets out for, I believe over a
9 week. So then of course, if there's an earthquake or
10 something more severe, it can be quite a bit longer. So I
11 know that may not be helpful from a very specific standpoint,
12 but I think conceptually we need to just be mindful that
13 looking at, you know, just peaks is really helpful. But it's
14 not the full story.

15 COMMISSIONER GUNDA: Thank you, Jason.
16 Commissioner Rechtschaffen, do you have a follow-up question,
17 or we could go to Commissioner Guzman Aceves.

18 COMMISSIONER RECHTSCHAFFEN: No follow-up question.
19 Thank you. Thank you, Jason.

20 MR. RONDOU: You're very welcome. Thank you.

21 COMMISSIONER GUZMAN ACEVES: Thank you,
22 Commissioner Gunda. I see Commissioner McAllister, too, so
23 I'll just keep it a little short. But I do really want to
24 just echo what Jean said earlier and what Michele did on the
25 role of Aliso in hedging some of the gas price spikes that

1 have happened. And they really, the impact we saw in 2018
2 that led to nearly a billion dollar in electricity costs that
3 were unanticipated. I think it was maybe around 700 million
4 just for the IOU customers. And I'm looking at the ISO's
5 presentation. Thank you, Neil. I'm looking at the
6 transmission costs and some of those are in that range. You
7 know, when we look at the opportunity costs of foregoing
8 something like that, there's of course, the resource of Aliso
9 and then there's these new transmission assets that could be
10 developed. And I'm assuming that when you're -- when you're
11 finding that some of these transmission resources don't make
12 economic sense because as you're noting here, some of the
13 local requirements aren't reduced, necessarily. But do you
14 ever look at some of these opportunity costs in these
15 economic analyses to say, because it is really something that
16 you wouldn't typically look at, I would assume.

17 MR. MILLAR: So thanks for the question. In a
18 number of cases, in different areas, we have looked at these
19 more extreme events about what's the potential cost? Most of
20 the focus to this point, though, had been largely on what was
21 the impact for loss load for these low probability events, as
22 opposed to also looking at the financial cost. Because it's,
23 putting it bluntly, it's very hard to get any sort of
24 consensus around these high impact but low probability
25 events.

1 So we've had more success at buildings cases, and
2 I'll pick on the Greater Bay Area, the San Francisco
3 Peninsula, in particular, where we did move on transmission
4 reinforcements there to address the physical loss of supply.
5 But when it comes to the economics, that's something we need
6 to start looking at because the -- we haven't to this point,
7 but that's something we want to explore. But I should
8 mention, we see the need for reinforcing system to hedge for
9 both the financial risk, but also the physical risk. We're
10 counting on an existing and somewhat aging gas fleet for a
11 lasting very long into the future. So even setting aside
12 Aliso Canyon impacts, we're concerned about a game plan
13 that's putting us so dependent on a gas-fired fleet surviving
14 many years into the future. And we're literally planning to
15 be on the edge of the planning criteria over that entire
16 period.

17 And you know traditionally, I'll say in the old
18 days, which wasn't that long ago, when we built the
19 transmission facility, it tended to give us a step change of
20 capacity that took, that gave us some cushion or margin. And
21 then over time, load growth would catch up and you'd get
22 close to the criteria again and then you'd build something
23 else. Now with different types of resources being included
24 as part of the mix, we tend to live right on the edge and
25 there's very little cushion if something goes wrong at any

1 point through the whole period.

2 So we need to start taking into account to moving
3 more aggressively, both on the financial risk that you've
4 outlined and also the physical risk of loss of supply for
5 something that goes beyond the planning criteria for these
6 were extreme events. And I do think that ties, not only to
7 the electric system, but also concern around the gas supply
8 system because, as Jason pointed out, we are counting on the
9 gas-fired fleet to perform much more differently than in the
10 past. I instead of being a relatively consistent provider of
11 megawatt hours, we're calling for the gas fleet and also the
12 gas supply system to provide much sharper peaking capability
13 when there is a critical transmission contingency, we need
14 everyone, and we need them all at full output, like very
15 quickly ramping. So that's a lot of additional burden we're
16 putting on these systems and that's a real concern to us.

17 And sorry I went off from the financial question.
18 That's part of it, but it's only part of it and we need to
19 push these other arguments as well.

20 COMMISSIONER GUZMAN ACEVES: Okay. And I just have
21 another tangent question, if I could, for you Neil. Which is
22 and I'm not fully understanding your slide, your graph on, I
23 forget what page this is, but showing the max potential for
24 storage in-Basin. And you're finding for the Greater Basin,
25 there's just above a 1,000 megawatts. And that's, you know,

1 in the Basin, so maybe I missed some of what you were talking
2 about, but is the main constraint on that the charging
3 capacity? Is that the main constraint?

4 MR. MILLAR: The -- it's both. The 1,000 megawatt
5 number was focusing on a conventional 4-hour product. And to
6 go beyond the 1,000, you would need longer than a 4-hour
7 product. And traditionally, what we're seeing being
8 purchased are 4-hour duration storage because that's what
9 qualifies for System Resource Adequacy. But so that's partly
10 limited by the load shape itself. A 4-hour product will only
11 give you so much window before you need to move to a longer
12 duration product. And then as you move to longer duration
13 products, then you run into the charging constraints. So
14 that's another limit that we also have to consider.

15 So it's -- in each area, it's different as to what
16 you hit first you. You run out of 4-hour capability or
17 charging capability for what sets the limit. So each one of
18 these is an area specific study. So what's the specific load
19 shape as well as the projection of what that load shape looks
20 like as we move into the future?

21 The good news, though, is that with behind the
22 meter solar being so common, that actually sharpens our peak
23 demand window in the post solar window, and it increases the
24 opportunity for storage to be a major player to play a role
25 in helping with local capacity. So this isn't all drifting,

1 I'll say to the bad news side, there's also the good news
2 about the effect of behind the meter solar sharpening the
3 load profile and creating more opportunity for a 4-hour
4 product.

5 COMMISSIONER GUZMAN ACEVES: Okay. Andrew, you
6 want to go?

7 COMMISSIONER GUNDA: Double muted.

8 COMMISSIONER MCALLISTER: Double muted again.
9 Sorry about that. Neil, you last comment kind of -- kind of
10 foreshadowed this -- my question. It's really to Jason,
11 though. You know, I really appreciate LADWP's sort of, you
12 know, souping up kind of ability to do integrative planning.
13 Right. You know in all the infrastructure, and I think we've
14 seen that, and throughout the couple days without LADWP's
15 perspective here. But I wanted to -- so you had made a
16 statement that, you know, if we see all the building
17 electrification that we hope to see.

18 And so I guess I'm kind of wanting to explore that
19 a little bit with you. How can we make sure that happens?
20 How can we decrease that uncertainty? How can we sort of
21 approach that as an integrated, as a part of the Integrated
22 Resource Planning and find the resources as it, you know,
23 sort of in an analogous fashion, to procurement itself to
24 make those investments and ensure that we get that
25 electrification to sort of decrease the uncertainty band and

1 therefore it's got to be, you know, more intentional and
2 direct about the broad investment in managing this
3 transition. Right. So [indiscernible] to maintain and
4 enhance reliability, both on the gas and electric side.

5 You know, on the IOU side we've got build and
6 [indiscernible], you know, that we're implementing to,
7 jointly with the PUC, to both new and existing buildings, you
8 know, increase the market for heat pumps. And it's a tiny
9 amount of money that's meant to kind of start to transform
10 the market. But really what you highlighted is that we're
11 talking in the tens of billions of dollars overall, and
12 that's the kind of scale we need for our buildings get there
13 as well. And so I guess maybe you could describe how
14 the -- how the demand side, you know, Elliott, yesterday
15 brought that up early on. I think in his opening comments
16 even, that we have to focus also on the demand side as an
17 integral part of this discussion.

18 MR. RONDOU: Mm-hmm.

19 COMMISSIONER MCALLISTER: And it seems like that's
20 the place where you're already thinking about and I kind of
21 wanted to explore your, the -- get your thoughts about how
22 to -- how to integrate the demand side in a much more sort of
23 structural way to give it more predictability.

24 MR. RONDOU: Yes. So I was rushing through just to
25 make sure I kept on time. That concept, and I'm glad that

1 folks caught it, but if anybody didn't, just to reiterate,
2 the electrification of transportation in buildings is
3 critical to the affordability of the transformation. If we
4 don't see that, the investment that we make in our
5 distribution system and broadly for this decarbonization
6 effort, can provide power to homes, but also to vehicles and
7 to electrified, you know, buildings. So it allows us to
8 spread out those investments over more units sold and then it
9 makes it more affordable. So I want to make sure that
10 concept is emphasized.

11 But then, to your question about how can we make
12 sure that happens, there's obvious answers like ensuring that
13 the investments in our distribution systems, not just us but
14 everybody's, is advanced, that that continues, and that's,
15 you know, we're prepared from a, you know, infrastructure
16 standpoint to charge those vehicles that we are staying on
17 track to, with state projections, state goals, local goals
18 for electrification, be that through rebates or mandates on
19 the, you know, transportation and building side. But then
20 there's a concept that's going to be significantly harder to
21 quantify, which is adequately addressing reliability and
22 resilience. There are likely folks that are far more
23 qualified to answer the question of how do questions about
24 reliability and resiliency of the electric grid influence,
25 you know, the adoption of electric vehicles? I don't know

1 that answer. I would imagine that it's non-trivial. I would
2 imagine that should there be an increase in, you know, events
3 that, you know, threaten the reliability of the electric
4 grid, that could be downward pressure on the adoption of
5 electric vehicles and in the move towards building
6 electrification. So I wanted to just emphasize the linkage
7 between the reliability of the system and the affordability
8 of our transformation and the decarbonization of other
9 sectors. They're all linked and then linked in a significant
10 and important way. So I hope that I answer your question.

11 COMMISSIONER MCALLISTER: It did, and I guess I'll
12 just add so you completely get the, you know, the more
13 kilowatt hours spread the infrastructure over, the more it
14 manages the cost to the consumer. And I guess, you know, in
15 LA it's what, 35 or so percent? 40% of people don't have a
16 whole lot of disposable income to make that investment in end
17 use electrification or decarbonization. And, you know, we,
18 the Energy Commission is in the final throes of tying up
19 finishing up the AB3232 Report, which is telling the
20 legislature how we might get to building decarbonization by
21 3030, 40% below 1990 3030, by 2030. And you know, it shows
22 that we really need to aggressively electrify our existing
23 building heating loads, you know, water and space. And so
24 that's going to capital. And I guess I'm wanting to kind of
25 begin to merge the topic of how that gets paid for or

1 financed or whatever and coordinate it tightly with this
2 planning discussion that we're talking about, as in trying to
3 reduce the risk and ensure that that does happen to help
4 manage costs, as you're saying. So I think it's a -- it's a
5 work in progress, but we need a lot of resources to do that.
6 And the question is where they're going to come from.

7 So thanks anyway. Back to you, Martha. That's all
8 I wanted to ask. Thank you.

9 COMMISSIONER GUNDA: Sorry. Commissioner Guzman
10 Aceves I have a couple of just high level, I think comment
11 and also kind of a question, and I think in the spirit of
12 what we're trying to achieve here. So I think the first one
13 I think from a comment standpoint, Jason, thank you again for
14 being here. I think, you know, the LA100 is kind of a nice,
15 best case, you know, in a bubble that one could learn from,
16 you know, for the broader state. So thank you for LADWPs
17 leadership on this, but also kind of your willingness to
18 continue to engage and to share information and kind of tie
19 your thoughts on this.

20 So a couple of clarifying questions really at a
21 very high level. So in the presentation that you just made,
22 you talked about the new, basically fuel dispatched turbines,
23 about 26 megawatts, 2,600 megawatts, and that's
24 in-basin. Just wanted to get through that question a little
25 bit here. I'm kind of looking at two slides. So I have the

1 slide number 7 and slide number 8 that you presented.

2 So the slide, number eight, under the natural gas
3 usage, under high load, you know, leaving the early, our No
4 Bio kind of scenario, which is the blue one that kind of
5 completely goes to zero in 2035. The rest of them all
6 sustain a certain amount of usage. Right? So I just want to
7 establish that, that I'm reading this accurately. And two, I
8 believe you mentioned, you know, that kind of a dispatch
9 rates and the need for ramping up the usage will increase,
10 you know, as we -- as we move towards more electrification
11 and decarbonizing the grid.

12 So I just want to get this clarity on this one. So
13 if we are looking at 2,600 megawatts of in-basin, that is,
14 you know, RNG, our biobased dispatch turbines. Is that still
15 going to be I mean, are, is LADWP envisioning that to happen
16 with the existing system? And if yes, you know, what kind of
17 storage are you anticipating acquiring for that to happen?

18 MR. RONDOU: So the chart you referring to showed
19 continued gas consumption under scenarios go out to 2045.
20 There was only one scenario that showed gas consumption in
21 2045. And that was the scenario with the most flexibility
22 that I believe assumes that, you know, renewable portfolio is
23 part of sales, not generation, and that renewable energy
24 credits could offset that. So that was one out of the four
25 scenarios. The rest of the four scenarios fully eliminate

1 gas, natural gas. There are biofuels and then hydrogen, you
2 know, that stands. I think everyone's aware of that. I just
3 want to make sure that that's clear.

4 COMMISSIONER GUNDA: Yeah. Thank you.

5 MR. RONDOU: The capacity within the City of LA,
6 the LA100 Study called out capacities by the different
7 existing generating stations, as well as potentially outside
8 of the Basin as well. So the Intermountain Power Project.
9 So there is hydrogen capacity at that location as well. So
10 the likelihood is that it would need to be in or near the
11 existing stations because the transmission infrastructure has
12 been built around that. So if you start to cite some of this
13 significantly far away from the existing stations that we
14 have, then you introduce the need for more infrastructure
15 that would need to be built. Now, that doesn't mean that
16 everything would go where it exactly is. There's going to be
17 very likely a series of, you know, decommissionings, starting
18 with the ocean cooled units that we have along the coast.
19 Those will be decommissioned. A number of our units we will
20 look at to see can we retrofit and get to very high levels of
21 hydrogen? Can they theoretically be eventually fully
22 retrofitted or do those need to be replaced with hydrogen
23 capable infrastructure?

24 So the very next step for us is to identify where
25 we would need that capacity most. We know at our Scattergood

1 generating station near the airport, that happens to be our
2 most immediate and critical need, in part due to
3 electrification in that area, in part due to transmission
4 constraints in that area. But we're also going to advertise,
5 or request for information, for all of our in-Basin
6 generating stations so that the industry can propose to us
7 how we do that. Do we -- are there opportunities on site?
8 Some of our facilities are very large. Could we do storage
9 or electrolysis on site? Are there existing, you know, is
10 there existing infrastructure that could, you know, provide
11 that hydrogen to a green hydrogen to us? I emphasize green
12 hydrogen because again, that's the -- that's the purpose of
13 the small decarbonization, not blue or green hydrogen. I
14 think I answered your question. If I didn't, you know, just
15 let me know.

16 COMMISSIONER GUNDA: Yeah, Jason. I think you got
17 to most of it. I think I'm just kind of thinking through and
18 again, you know the, and I'm trying to get the big picture
19 here as to the best thing through all the options. Right.
20 And how do we thoughtfully move forward here? So
21 specifically for LA, you know, if we're -- if we're kind of
22 thinking about that much megawatts of in-Basin potential
23 generation, you know that, and some sort of a thermal fleet
24 that potentially may come from hydrogen and elsewhere. Do
25 we, I mean like what is the anticipated infrastructure to be

1 able to provide the fuel? You know, is it on site
2 generation? I mean, the Intermountain you mentioned, it's a
3 very unique situation. We have the Salt Cavern there. So
4 just kind of, I mean maybe it's a work in progress and I
5 don't want to put you on spot on here, but just wanted to get
6 a little bit more of your thoughts, if you have some.

7 MR. RONDOU: Yeah, it's the most important question
8 when it comes to maintaining our, you know, ability to
9 maintain the reliability of the grid, the resilience grid in
10 2035, but we just don't know the full answer to that. We
11 know we have a lot of land at some of the stations. We know
12 that in the Scattergood, and the Harbor and Haynes area,
13 there might be areas nearby that could potentially produce or
14 transport in, so there might be opportunities. The immediate
15 next step is the request for information so that we can try
16 to solicit some proposals that may lead to pilots, whether
17 the pilots are doing onsite electrolysis or potentially
18 constructing or retrofitting pipelines to bring it into the
19 locations.

20 I hate to say that we don't know. What we do know
21 is we need the capacity. We know that from the study. What
22 we don't know is what's the best way to get the supply there
23 or will that be to produce it on site? I think we're open
24 to, you know, different methods and it may -- it may vary by
25 site. You know we have locations that are along the coast

1 that have limited footprint. We have a location in the north
2 west San Fernando Valley. So for those of you that are
3 familiar with the area, it's inland and it's a community that
4 has long advocated for the elimination of the gas usage on
5 site, and so we'll have to work with that community to
6 understand, you know, is that something -- is hydrogen
7 something that they'll be very excited about or will they
8 have questions. So there's going to a lot of outreach for
9 that into that [indiscernible]. So I say that because it's
10 not going to be a one size fits all approach to each of these
11 generating stations. Some of them, you know, may have,
12 actually all of them will need, you know, other forms of
13 storage as well. So whether it's in or near those generating
14 stations will likely need lithium ion or other types of
15 storage technologies to further eliminate the shorter term,
16 you know, need for that capacity, be it gas in the near term
17 or eventually hydrogen in the long term.

18 COMMISSIONER GUNDA: So Jason, I have one quick
19 follow-up and I'll pass it on to Commissioner Rechtschaffen
20 who also raised his hand.

21 Just, sort of making sure, the need for the 2,600
22 megawatts, I'm kind of just looking at SB100, the analysis
23 we've done. We've looked at that idea of different
24 scenarios, when we say that that 2,600 megawatts of hydrogen
25 or other biofuel based thermal generation is required, what

1 is -- what is triggering that? Is that based on cost, land
2 use issues? I mean, because, you know at the SB100 we
3 haven't been able to do this level of local analysis. Right.
4 It's just a system level analysis. So I really would like to
5 get your feedback and thoughts on this. Like what's driving
6 that?

7 MR. RONDOU: Yeah. It's actually not just 26.
8 That's the lowest end of it. It actually, under the
9 scenarios where you use gas with a renewable credits for
10 biofuels, it actually goes to, in some cases, up to about
11 5,500. And what drives that big growth is that the
12 cost -- that cost assumptions for hydrogen are very high. So
13 it only, the Capacity Expansion Model, only builds out and
14 only proposes hydrogen when it's absolutely needed. And a
15 lot of that is going to be driven by the approach to taking
16 out certain assets for long periods of time and ensuring that
17 the peaking capability to serve loads under those scenarios
18 is there. So that means, again, the usage of it is
19 extraordinarily low, but the value, you know, the importance
20 of it is very high. Yeah, hopefully that answers the
21 question.

22 COMMISSIONER GUNDA: Yes. I think, you know, I
23 would love to follow up on this. I mean, I'm just kind of
24 thinking as substitute, right. I mean like, you know, could
25 we conceive of storage. I mean like why wouldn't, I mean

1 like storage is cheaper based on the SB100 modelling that
2 we've done, why does this resource become important here?
3 It's just basically that kind of question.

4 MR. RONDOU: Yeah. And again -

5 COMMISSIONER GUNDA: Go through the options.

6 MR. RONDOU: Yeah, and just I'll really quickly
7 address that. The answer is absolutely storage gets built
8 out first because that's going to be the low, you know when I
9 say storage, I mean lithium ion, the, like the lowest cost
10 available short term storage. That will get built out first.
11 But what doesn't, what that won't do is we won't build that
12 out for you know, 36 hours if there's, you know, one period
13 in 8,760 hours of the year where we need that really long
14 duration. The model very likely is not going to build out a
15 bunch of lithium ion that gets used once every 10 years or
16 once, you know, once a year because it's -- that's
17 not -- that usage is not the lowest cost approach to solving
18 that problem. That's where something like biofuels or
19 hydrogen would solve that problem more cost effectively.

20 COMMISSIONER GUNDA: Great. Thank you. I think
21 that really hits that point. Thank you so much.

22 MR. RONDOU: You're very welcome.

23 COMMISSIONER GUNDA: I don't know if Commissioner,
24 yeah, Rechtschaffen, you raised your hand. I don't know if
25 you wanted to ask something.

1 COMMISSIONER RECHTSCHAFFEN: Jason answered in part
2 what I was going to ask. I'm interested in the timing of
3 these conversions of the in-Basin plants, especially as it
4 relates to the Aliso Study that we're doing, and the options
5 of how long Aliso's maintained and what -- and what
6 configuration. What I think I heard you say is Scattergood
7 is the most immediate priority. And then for the other
8 plants, there is going to be a variety of pilots
9 consideration of retrofitting and there's uncertainty about
10 when those -- the retrofitting will occur, and what will
11 occur at those facilities. So you really probably can't say
12 much more in terms of dates other than Scattergood, if at
13 all. Is that fair?

14 MR. RONDOU: Yes, with the exception that the LA100
15 Study does call out in five year increments when that
16 capacity is needed. The only thing that I'll say is that
17 that presents scenarios, not an adopted plan by LADWP. We're
18 going through that process now of saying, you know, LA100
19 looked at four scenarios, we're going to model, based on what
20 we learned, we may model more scenarios beyond that or a
21 variance of those scenarios, either to drive down cost or to,
22 you know, improve environmental outcomes. And then we will
23 adopt a scenario and that will give us a much clearer picture
24 of what that, you know, build-out year by year will need to
25 be for all resources via local solar, local storage, or

1 hydrogen capacity.

2 COMMISSIONER RECHTSCHAFFEN: Thank you.

3 MR. RONDOU: You're welcome.

4 COMMISSIONER GUNDA: Thank you. Looks like we're
5 right on time so we could pass it back to Heather.

6 MS. RAITT: Thank you, Commissioner. Actually,
7 this is when we were going to take attendee Q&A, but there
8 are no questions. So if you didn't have any more burning
9 questions, then we can move on to the next segment, which is
10 the Roundtable Discussion.

11 COMMISSIONER GUNDA: Yeah. I think before we close
12 this off then, I just want to say one more sincere thanks to
13 the panelists. That was really, really helpful discussion,
14 specifically team from CPUC, and Jason, and Neil, thank you
15 so much for your time on this. So I think the next panel,
16 really is Commissioner Guzman Aceves, so I'm going to just,
17 Commissioner, please take it up.

18 COMMISSIONER GUZMAN ACEVES: Okay, great. Thank
19 you, Commissioner Gunda. And thank you also for all of our
20 previous panelists. As I mentioned at the beginning, this is
21 more of a roundtable discussion, so I do invite you to keep
22 your cameras on and jump in. I'm going to really have just a
23 couple of questions and do maybe a rapid round of responses
24 from each of our panelists and then allow just open
25 discussion, as I said. So we have folks that have been here

1 already in the morning discussions, and we also have a few
2 additional panelists who have joined us who have been
3 involved in this general discussion through most the
4 Proceedings, but also overall in our larger discussions
5 around transitioning and reliability.

6 So I'm going to maybe allow a couple of
7 introductions for the folks who have not yet. And I'm
8 thinking, Jason and Neil, you guys, Eileen, have
9 already -- trying to find the correct list of the panelists.
10 Excuse me. So we have someone, Neil, I think you're staying
11 on from the CAISO.

12 MR. MILLAR: Yes.

13 COMMISSIONER GUZMAN ACEVES: And Jason. I think we
14 also have someone from Edison joining. Is that correct? I
15 apologize for not having this in front of me.

16 MS. RAITT: We have Robert Grimm.

17 MR. GRIMM: Robert Grimm.

18 COMMISSIONER GUZMAN ACEVES: Okay. Great. Thank
19 you, Robert.

20 MS. RAITT: Commissioner.

21 COMMISSIONER GUZMAN ACEVES: Go ahead.

22 MS. RAITT: I was just wondering, do you want me to
23 let you know who we have for the Roundtable?

24 COMMISSIONER GUZMAN ACEVES: Please. Thank you.

25 MS. RAITT: Sure. So we also -- we have Robert

1 Grimm. He's our project specialist with Edison. And we have
2 Michael Colvin, who is the director of Regulatory and
3 Legislative Affairs for the California Energy Program at the
4 Environmental Defense Fund. And we have Jin Noh, who is, or
5 excuse me, Jin Noh, who is the policy director at the
6 California Energy Storage Alliance. And then, of course, as
7 you mentioned, Neil Millar and Jason Rondou are joining us
8 from their presentations earlier. So thanks.

9 COMMISSIONER GUZMAN ACEVES: Thank you, Heather.
10 Okay. So the first question I have for you, obviously we've
11 heard so much of these different dynamics around the future,
12 what the future would look like if we did not have Aliso, and
13 if you could put out just maybe the top two or three most
14 compelling solutions, or alternatives, or strategies that you
15 could recommend that provide us with local reliability or
16 other needs that could be met. What are those solutions and
17 alternatives? And again, it could be, as has been mentioned,
18 not just with the -- with the supply, but the economic
19 hedging as well. And why don't we start with some of our new
20 panelists. Looking at Michael here.

21 MR. COLVIN: Well, thank you so much, Commissioner,
22 for one, just having me on the panel today. And I really
23 enjoyed all the presentations on the previous panel.

24 So in the future without Aliso, I think there
25 are -- the way I think about this is that there's sort of two

1 pathways that the decision makers need to think about
2 alternatives. The first one is displacing the gas use, and
3 then the second one is displacing the economic benefit.

4 So displacing the gas use. EDF put out a report
5 last quarter saying here are strategies to help get to a
6 completely decarbonized electric grid by 2045. And I'm tying
7 that back to the Aliso issue because one of the options that
8 was sort of presented in that paper, knowing that natural gas
9 use is one of the largest end uses of gas in the, and where
10 Aliso is out there, and this entire gas generators that rely
11 on Aliso for it, if we're not going to have Aliso around,
12 then we also pretty much, by definition, take electric
13 generation with carbon capture and storage off the table. If
14 we're saying we're not going to use gas, then we're not going
15 to date that gas from CCS option.

16 So if that's the case, if we know that we're not
17 going to be using natural gas-fired electric generators in
18 the same way because Aliso has gone offline, then we're going
19 to have to make other types of investments. And that could
20 be into importing nuclear from out of state. It could be
21 from doing more in state use of cleaner biofuels, such as
22 hydrogen. It could be using expanded use of geothermal.
23 There are other options that are out there, but we are going
24 to need some sort of clean and firm option that is out there
25 to help firm and shape all of the intermittent renewables and

1 short duration batteries that we're going to have. I can go
2 into a lot more detail on that study, but I'll just sort of
3 note that it's out there.

4 And then going back to some of the things that
5 Michelle was talking about in her presentation, and I think
6 Jean mentioned this morning, was that Aliso does provide an
7 economic benefit to customers. But if you're not going to
8 have that asset around, you have to think out, well what are
9 the other ways to help keep the energy burden or the energy
10 bill for customers smoothed out? And so that's going to need
11 to be a very targeted electrification push and a targeted
12 rollout of alternative fuels for when electrification can
13 occur. And so one of the strategies that I think that would
14 need to occur is how do we not just get the technologies out
15 there, but how do we get them out there in the places where
16 we are helping the most vulnerable customers first? And we
17 are looking at the intrinsic book value of the gas assets
18 that would be fed off of that Aliso system. So that way we
19 are not stranding huge costs that would have to be picked by
20 our most vulnerable customers. And so doing targeted
21 electrification and targeted deployment of cleaner, non-gas
22 based fuels that wouldn't be stored in Aliso facility is
23 going to be really critical. And we've talked a lot about
24 that in the Building Decarbonization Proceeding, and so we
25 can, you know, point back to that for some other examples.

1 The last thing, since I have to mic, that I'll just
2 mention. Sorry, I went on mute there for a second. without
3 [indiscernible] in service, there is going to need to be new
4 investments into the system. We know that, but there's going
5 to need to be new investments into the gas system as well
6 because we're still going to have a gas demand around. But
7 the gas, large gas users, whether they're the noncore
8 customers of the electric generators, have to figure out,
9 well how do we pay for those investments are in a way that is
10 equitable and smoothed out.

11 So updating our gas tariffs to accommodate the
12 shutdown of Aliso, and also recognizing that new investments
13 to make the system work, the gas utility still is going to
14 have an obligation to serve. That cost allocation is going
15 to be really important to figure out. So that's sort of
16 another thing that I think the Commission is going to want to
17 have on its radar. With that, I think those first two
18 minutes. So I'll yield back over to others.

19 COMMISSIONER GUZMAN ACEVES: Thanks, Michael. Why
20 don't we head over to Robert?

21 MR. GRIMM: Okay. I think that the first thing, I
22 agree that we have to reduce the gas demand. I think it's,
23 looking at the FTI Study, there were a lot of challenges with
24 that study and a lot of assumptions that were made for
25 simplifying assumptions that in the end, I don't know if it

1 would have -- would result in a really reliable gas system.

2 So it seems that reducing the gas load is an important thing
3 to do if you're going to have -- not have Aliso Canyon.

4 The second issue, I would say is, and this is more,
5 this isn't at the same level that you are talking about, but
6 it's more of a structural issue that has to change. I think
7 it -- we also have to look at how we would deal with
8 shortages of gas. As it currently stands now, you all may or
9 may not know this, but the electric generation sort of
10 provides a buffer for everybody else. So to the extent that
11 we run short on gas, electric generators get curtailed. And
12 we get curtailed regardless of whose gas doesn't show up. It
13 doesn't -- so one of the questions that Commissioner Guzman
14 Aceves had asked us to talk about is our hedging strategies
15 and specifically what we do in order to have reliable gas
16 supplies. And the truth is we can have as most reliable gas
17 supplies available through the -- into Southern California.
18 And it doesn't matter, our gas, we still wouldn't get to burn
19 it. Others would get to burn it. So to the extent that we
20 start winding down power generation, and to the extent that
21 we don't have this big buffer at the top of the gas queue to
22 curtail, and to the extent that as other speakers have
23 talked, that we become sort of more of a ramping, a ramping
24 supply. It seems that one of the structural things you have
25 to change is what do we do with scarcity of gas?

1 Specifically, I think we probably need to revise the gas
2 curtailment sequence just because it doesn't -- It wouldn't
3 make sense if we don't have a big buffer of gas on the top --
4 on the top of gas stack, so.

5 COMMISSIONER GUZMAN ACEVES: Okay. Thank you.
6 Jin, do you want to go next?

7 MR. NOH: Sure. Thank you, Commissioner, and
8 thanks for inviting me to serve on this panel. So I'll say,
9 you know, first and foremost, you know, obviously I think
10 energy storage will play a critical role in displacing or
11 reducing the need for gas generation, which could, you know
12 reduce the need for Aliso Canyon. So to Commissioner, your
13 comments earlier about how there are certain like tried and
14 true methods that we, you know, underwent a couple of years
15 ago where, you know, SCE and SDG&E had to procure energy
16 storage to address the release of Aliso Canyon moratorium.
17 And we had 160 or so megawatts being procured collectively to
18 mitigate some of those challenges. And especially if when
19 those solicitations were structured so that the procured
20 resources actually had the guidance as to where to connect.
21 You know, how can it reduce the need for gas generators that
22 might have significant draws from Aliso Canyon? In that
23 sense it could really provide that support to reduce the gas
24 demand from those -- from those generators.

25 Some storage can provide many of the same, or

1 better, fast ramping capabilities and peaking capacity. That
2 might, you know, serve the benefit to allow, you know, the
3 gas storage sites to be filled to address winter demand. And
4 so I think, you know, of course it's much more complicated
5 when we think about, you know, how do we fully eliminate or
6 displace a need for Aliso Canyon. And we have to take into
7 account the ISO's LCR reports about, you know, being sure we
8 maintain reliability for contingencies, ensuring enough
9 generation is available to charge those systems.

10 But to that point about how there might be limits
11 as to how much the four hour storage portfolio can take us to
12 address those Aliso Canyon needs. I think it's important to
13 consider that there are a suite of long duration energy
14 storage technologies as well that can address these larger,
15 multiday, seasonal energy storage needs and maybe potentially
16 make it more likely that we can eliminate the need or
17 reliance for Aliso Canyon.

18 And to that end, you know we did complete and
19 publish a Long Duration Storage Study just in December 2020.
20 So not too long ago where we conducted a similar type of
21 capacity expansion modeling exercise to determine how we can
22 meet our 2030 and 2045 goals. And granted, it was a system
23 wide model that didn't look at the specific local conditions
24 and context of Aliso Canyon, but when we looked at some of
25 the sensitivities around deep decarbonization targets at a

1 system level where we're trying to achieve 12 million metric
2 tons or zero million metric tons by 2045, it really
3 highlights how, you know, long duration storage is really
4 needed to provide not only the longer duration needs, but
5 also address the winter reliability needs.

6 So happy to, you know, explore more but yeah, I
7 think those are two of the main points I wanted to make.

8 COMMISSIONER GUZMAN ACEVES: Thank you. Jason, do
9 you want to go next?

10 MR. RONDOU: Sure. I think LADWP's perspective is
11 going to be a little bit different for many of the reasons
12 that I already mentioned earlier, but one that I don't think
13 I explicitly mentioned, which is we're vertically integrated.
14 We own and control our resources. We have a significant
15 amount of transmission capacity that can bring power from
16 many different parts of the western United States into the
17 City. So in many ways, we have some advantages. Now, I
18 already talked about a lot of that really is concentrated.
19 We sort of have a geographical concentration of that that
20 transmission. So that does, you know, erode a little bit of
21 that benefit that we have. In the past we've done things
22 like set aside, you know, transmission capacity to ensure
23 that should there be, you know, a shortfall in gas supply,
24 that you know, potentially we could, you know, import
25 additional power within the City. And some of it is about

1 scheduling, whether it's ensuring that we have more
2 resources, you know, outside of the Basin available should we
3 need it.

4 Now, I just want to caution that that doesn't
5 eliminate all of the risk. More strategies, including
6 expanding our demand response programs. So several years
7 ago, we didn't have a Demand Response Portfolio. We didn't
8 have demand response. We had some customers that we can call
9 upon that would, you know, we would joke that we, you know,
10 email and then call them and they would send somebody running
11 around the building, shutting everything off. But we didn't
12 have something that was automated. We built that out last
13 summer. We're expanding it this summer and we're modernizing
14 a lot of our demand response. And we're actually building it
15 out more for now, expanding storage. And what I'm referring
16 to is, you know, the traditional lithium ion 4-hour storage.
17 We know that we need over the next 10 years, 500 megawatts of
18 in-Basin within the City of LA, storage. Some of that's
19 going to be customer sided. Some of that will be sited on
20 maybe a little bit larger scale, potentially at key
21 facilities.

22 So we also know from our modeling that we are going
23 to use Castaic pumped-storage a lot more than we used to. So
24 we are very, very fortunate to have the ability to have
25 longer duration storage with Castaic Power Plant. We're also

1 negotiating a contract for longer duration storage that may
2 give us potentially above ten hours' worth of storage. Now
3 it's, you know, just in negotiation stages so I caution that,
4 you know, for some of these technologies that are not quite,
5 you know, as mature as lithium ion, those negotiations may
6 take time. They may not prove out, they may work out. And
7 if they do, and if it does prove out, it's potentially
8 technology that we would bring within the city, which will
9 give us even more duration. So looking at it from all of
10 those angles, I think is going to be very, very important. I
11 just caution that it doesn't -- those altogether don't
12 eliminate 100% of the risk. But it is, you know, we're well
13 positioned in many ways, but we still have our risks as well.

14 COMMISSIONER GUZMAN ACEVES: Thank you, Jason.
15 Neil.

16 MR. MILLAR: Thank you. Yes. I would say that we
17 need to consider both the system and local implications on
18 the gas supply side of the use of that generation right now
19 for both purposes and the burden that places on the gas
20 system. We also have to consider that some of the
21 electrification strategies that we're talking about to reduce
22 greenhouse gas emissions overall from the state perspective
23 involve putting more burden on the electricity system. So
24 even if that reduces end-use consumption on gas, simply
25 moving some of that burden over to the electric -- the

1 generation side, that then is still requiring us to get
2 energy into the Basin and perhaps considerably more energy
3 into the Basin that is being delivered to this point,
4 depending on the success of some of the electrification
5 vehicle, electrification and building electrification
6 strategies that are -- that are moving forward. So we're
7 very concerned about the possibility of a sudden uptick in
8 forecasting coming out of this and how much cushion we have
9 in this supply, overall, into the Basin area. So we firmly
10 believe we need an actionable trajectory for dependence on
11 gas-fired generation in the Basin and a clear trajectory of
12 how much of that is reasonably expected to be made up of
13 other generation sources inside the Basin and versus
14 dependence on energy that has to be imported into the Basin.

15 And that would be the basis then for us getting on
16 with some of those transmission alternatives we talked about.
17 The real concern there is that those are not going to be easy
18 projects to get permitted and built. We need, that we need
19 the lead time to get those moving. And we can't simply fill
20 in with storage until we're right on the edge and then start
21 developing these long lead time projects. So that's why we
22 see that we need a collective, actionable strategy. And
23 unlike Jason who's, LADWP is sort of on their own, is
24 vertically integrated with us, where we're in partnership
25 with the state agencies on this -- on this path. And we need

1 the forecasting to take into account the possibility of an
2 uptick from electrification strategies, a targeted strategy
3 of gas-fired generation reduction, and use that as the basis
4 for getting on with the transmission development into the
5 area.

6 And we have been in discussion with LADWP, and
7 we'll look forward to continuing those discussions about any
8 opportunities for partnering on some of these transmission
9 facilities to look for the best overall solutions and
10 we're -- we need to get on with this because the situation
11 we're in right now is simply not sustainable. We need to get
12 going.

13 COMMISSIONER GUZMAN ACEVES: Thank you, Neil.
14 That's a perfect segue into this next question, which is
15 really how do we move forward with some actions? There's,
16 you know, certainly potential actions that are needed for
17 even this winter. And what you're talking about, Neil, is
18 not waiting any longer on these medium and longer term
19 actions as well. So my final round of questions to you
20 before I go to my fellow commissioners and the public is,
21 what are these immediate actions that we should be taking.
22 some that will have immediate potential impact and some, like
23 Neil's, describing immediate actions that we can take towards
24 longer or medium term impacts. So if you can just be really
25 direct about what are those actions that are needed and why

1 don't I just go back in the order we started? So, Michael,
2 I'll turn to you.

3 MR. COLVIN: You know, it's a great question. So a
4 couple of things that I think that can be done. The first
5 one is I completely agree with what Neil was just saying. We
6 need to start making investments now so that we have more
7 options in the future. So you know, start holding the
8 solicitations for the non-gas resources and start figuring
9 out, for the gas generators that are going to be online,
10 direct the gas utilities to say, well, what are the things
11 that you're going need to do in terms of compressor upgrades,
12 or in terms of fuel upgrades, in terms of, you know, pipeline
13 capacity upgrades? What are the things we need to do if
14 Aliso's not going to be around and have them start doing a
15 cost comparison of what those investments are?

16 One of the things that can be done relatively in
17 the near term is, there's a pending proposal before the PUC
18 to have the electric generators to have their own independent
19 tariff or gas pipeline capacity access. And to allocate
20 costs to them, and that would help give, if the commission
21 were to approve that, that would help give an apples to
22 apples comparison to non-fossil based ramping capabilities,
23 that if we allocate the costs to the gas generators, and say
24 it goes up by 5%, and then the short duration storage now
25 looks more cost competitive than the wholesale market because

1 it's now accounting for the ramping costs that the gas market
2 supplies, we will be able to make better determinations.

3 So getting that tariff approved, getting the cost
4 information approved, and getting that into a side by side
5 comparison of the non-fossil alternatives are all things that
6 can be done now that would help inform what would be done in
7 the future.

8 In terms of the affordability issue of how do we
9 help ensure that if Aliso wasn't going to stick around, how
10 do we smooth out gas costs for customers? It's really
11 needing to take advantage of all the demand side management
12 programs that you have in your arsenal, whether it be
13 efficiency programs, the demand response programs, or the
14 electrification programs, and really go after the vulnerable
15 populations and look at the existing book value and target
16 those customers first. And that's how you're going to get
17 the biggest bang for your buck.

18 There's some great analysis that Commissioner
19 McAllister did in one of his gas dockets last year that
20 showed that if you target electrification versus not, you're
21 able to start to figure out how you could actually save
22 customers money on the stranded assets issues. And so
23 thinking out strategies of how do we target those programs
24 and how do we get them in the hands of the customers who are
25 going to need the most is something that both Commissions are

1 ready to go on, but we haven't seen that action yet.

2 COMMISSIONER GUZMAN ACEVES: Okay, thank you,
3 Michael. Robert.

4 MR. GRIMM: Oh hi. So I just sort of need to start
5 off by saying that I, the role that I play at Edison is sort
6 of the gas expert and I help resolve specific gas issues. A
7 lot of the conversations that the other speakers are talking
8 about are broader ranging. And so I just want to say that
9 my, I'm afforded to focus, primarily just on the other gas
10 fed issues. As it relates to what I said earlier, I think we
11 do need to look at, in gas scarcity if you -- scarcity if you
12 don't have Aliso Canyon.

13 I think that we need to make sure that the gas
14 system is responsive and robust, that we -- as it could be.
15 I think that there needs to be immigration with energy
16 storage in order to help smooth out some of the ramps that
17 are going to come from the -- from the gas generation. But
18 an immediate need, and I do think that there needs to be some
19 attention, not, it doesn't have to happen in the next year or
20 two, but I do think there needs to be in the next five years
21 attention to how to deal with gas scarcity because it will
22 happen. And as it stands right now, the electric industry,
23 electric generation won't be available to provide that
24 balancing service for the system. So that's it.

25 COMMISSIONER GUZMAN ACEVES: Thank you. Okay, Jin.

1 MR. NOH: Yeah. I think it's a challenging issue
2 just based on the previous presentations where we have to
3 consider all the gas and electric interactions and I think,
4 you know, by no means is energy storage's an end all or be
5 all for this complicated issue. I think it's going to
6 involve, you know, end-use electrification, transmission, and
7 the solution, you know, how much storage can go toward
8 achieving the goals of the Proceeding. Is, you know, whether
9 the goal is to achieve a future without Aliso by 2027, or
10 more likely, it can be achieved by 2035.

11 But with that said, you know, I would say three
12 major recommendations from CESA, first is one of the near-
13 term things that can be done is to identify every opportunity
14 to hybridize storage with gas plants. You know we've done
15 modeling to this end as well, where we showed our
16 hybridization of peak [indiscernible] can really reduce the
17 daily starts and really reduce the daily gas usage of the
18 unit by having the storage on the front-end provide that
19 those spinning reserves and for the peak or unit not have to
20 upgrade at its [indiscernible], which you know, generally
21 improves the efficiency of the fleet, reduces criteria
22 pollutants. And we saw that with the 2016 sixteen SCRFO as
23 well, where they procured a project just to this effect. And
24 given the fact that they have lower permitting and
25 development risks and can leverage existing deliverability,

1 that could be a quick near-term solution. That's very
2 reasonable.

3 I think the second one is more targeted to our
4 longer term needs, so because storage does take time to
5 materialize. And if we're looking at 2027 to 2030 needs,
6 leveraging the IRP procurement and identifying, you know,
7 where it's smart to direct some of that storage procurement
8 to specific locations that could reduce gas need of front-end
9 units that are within that Aliso Canyon delivery area and
10 also provide the local RA benefits.

11 And then I would say that the last one is we're
12 behind the meter storage resources. I think Neil commented
13 to that effect about how we can shape the electric demand to
14 make it more likely that we can address some of these needs,
15 and especially in a locally constrained area where there's
16 not that much space to build, you know, mountains and
17 mountains of storage. You know, how can we take advantage of
18 the built environment and leverage as much locally sided
19 solar plus storage as possible.

20 COMMISSIONER GUZMAN ACEVES: Thank you, Jin.
21 Jason.

22 MR. RONDOU: I think two key ways. The first is
23 going to be the rapid increase in renewable energy because
24 that will displace gas. We are negotiating, by the end of
25 the year we'll have under negotiation enough renewable

1 contracts to get us to 70%. So we will very soon be on track
2 to hit the new 80%renewable goal by 2030. So that's one, so
3 pushing that gas usage down.

4 The second is ramping up distributed resources. So
5 we launched an open solicitation for storage, both local and
6 the utility scale. And that's already out on the street. We
7 launched a distributed resources RFP and we're looking at
8 trying to make that an open solicitation as well, so the
9 proposals can come in and we can negotiate those as well.

10 And then I already mentioned expanding demand
11 response. I would just caution that that helps drive down
12 gas usage significantly, but it doesn't fully address the
13 peak demand of gas.

14 COMMISSIONER GUZMAN ACEVES: Thank you. Neil.

15 MR. MILLAR: Thank you. First, we're eager to see
16 as much storage and other resources brought on the grid as
17 quickly as possible. Over the next five years, I think it's
18 actually almost physically impossible to overbuild given the
19 demands that we have for resources overall. Storage is an
20 important part of that. The mid-term procurement
21 authorization was, which was voted in on my birthday, one of
22 the best birthday gifts I've seen in a long time. And we
23 need that storage to be directed to where it will do us the
24 most good.

25 Now, having said that, in these local capacity

1 areas, the charging limits have to be respected. So building
2 from there. When we can't pat ourselves on the back and say
3 that's a job well done, we need to pivot it simultaneously on
4 getting some longer term infrastructure in place so that we
5 can beef up the charging capability and continue to have
6 storage as a bit of a buffer because despite Jin making the
7 comment about how it takes time to build storage, it's one of
8 the fastest resources we can get on the system. The speed is
9 a huge advantage, so we have to use it as a buffer while
10 we're putting other longer lead time solutions in place and
11 reestablish some of that buffer for load forecast and other
12 uncertainties as we move forward.

13 So one of the first things I would encourage is
14 stronger direction to the people that are doing the mid-term
15 procurement to actually focus their efforts where they will
16 also, those resources can also provide critical local
17 capacity benefits in the near term. So that's one of the
18 strongest recommendations I think we'd make out front and on
19 a parallel path, getting going with some of these longer lead
20 time projects so that we're not less dependent on storage
21 that is running out of charging capability.

22 COMMISSIONER GUZMAN ACEVES: Those are all
23 excellent recommendations, and I think I have some follow-up,
24 so I'm going to ask my fellow Commissioners to join me now on
25 this dialogue and see if any of you have any specific follow-

1 ups. Commissioner Gunda.

2 COMMISSIONER GUNDA: Yeah. First of all,
3 Commissioner, thank you so much for setting up this this
4 Roundtable, I think is our, you know, nice to see Michael and
5 now I know Neil, belated happy birthday in June. Now I know,
6 June 24th was a special day, so I'll remember that. So and
7 then nice to see Jin and Jason. Thank you for your continued
8 engagement on this.

9 So I think, you know, a couple of high level kind
10 of questions, if you're all willing to comment on this. So I
11 think I'm kind of thinking through, just as a flowchart here,
12 right. Flowchart the analysis that is required to get to a
13 good decision that is --that is in the best interest of the
14 public. So and that kind of -- that kind of thinks through
15 the reliability, safety, and affordability. Right. And then
16 our climate goals. I'm just kind of thinking through a
17 flowchart here. So it looks like, you know, I mean, you
18 know, the Aliso Canyon retirement, whether we talk about 27,
19 35, you know, whatever the timeframe might be, I'm going to
20 leave out the time frame for a second and say, you know,
21 let's just consider that retired at some point in time. When
22 we consider that as a retired, I know kind of retirement,
23 then a few things came up in the last couple of panels. And
24 then this discussion, which is just a risk of dispatch needs.
25 Right. So like, you know, there might be a risk for, you

1 know, rapid dispatch, which will require some level of
2 storage to compensate that. That is like one argument that
3 kind of solidly came through as a discussion. So and then
4 there was the whole idea around the rates and then the prices
5 and how do we, you know how can a storage asset really help
6 hedge us around the prices?

7 And then the other one was just the technology
8 limitations. You know, I'll just put that in that category,
9 which is we still don't have these, you know, dependable,
10 long duration storage that we can depend on to get through
11 these times and along with the costs of those technologies.

12 And then finally, you know, we think through the
13 other side of bringing in some energy from outside the Basin.
14 Like in this particular case, you know, we might have some
15 transmission constraints and then we need to think through
16 all those issues. So there's like four things. So and I'm
17 kind of just getting to the end-goal, right. The end is,
18 it's gone. So we laid out all these risks. And then
19 Commissioner Guzman Aceves kind of laid out, okay tell me
20 what we can do immediately. As you think through this,
21 right. I mean, as we think through this inevitable
22 transition towards kind of a decarbonized economy, from here
23 to there, how do we reduce risk? And so whatever time frame
24 it is, I mean, I think we're all talking through the Aliso
25 Canyon, yes or no to risks around price cost, dispatch needs

1 and then sense. So if there's one point that you want to
2 add, each of you, like how do we think about a future where
3 Aliso doesn't exist, and the risks are mitigated?

4 MR. GRIMM: This is Rob Grimm from Edison. I'll
5 start. I think if you're if you're focused on risks, I think
6 what you do is you push, you set a target to where the gas
7 load, the gas load for core customers is reduced by some
8 level based on building electrification. And then you also
9 look at when the electric load has reduced by some level, gas
10 demand is reduced by some level. And once they reach, once
11 you get to a place where you can shut down Aliso Canyon, then
12 that's a good time to do it. So you said it doesn't have to
13 be a specific time, specific time. How do you know when
14 you're there? And it seems like we laid out all these things
15 that have to happen in order to have a reliable system
16 without Aliso Canyon. Some of those things have to start
17 happening. And there's a point where enough of those things
18 have happened that it makes sense to shut it down. That's my
19 thought.

20 MR. COLVIN: This is Michael at EDF. So,
21 Commissioner, I guess the way that I would frame it is the
22 policy choice of whether or not Aliso should remain is
23 completely within the State's decision making that this is
24 you know, if you want to keep it open, there are certain
25 things that have happen. If you don't want to keep it open,

1 there's certain things that have to happen. But the decision
2 needs to be made that, you know, if you just look at the
3 current steady state and say, well, when are things going to
4 change? It's not going to change unless you ask it to
5 happen. And then you need to have a plan and execute that
6 plan accordingly. But kind of step one on your flowchart
7 needs to be, do we want to keep this asset around or not?
8 And if the answer is yes, then what are the things that need
9 to be done to make it safe, reliable and etcetera, etcetera?
10 What are the -- if the answer is no, then how do we
11 transition out of it in the most orderly and low risk way
12 possible? But I think that decision just needs to be made
13 because the market is not going to suddenly transform itself
14 into a place where Aliso isn't used. This is going to be a
15 policy call. So as you're going through your flowchart, I
16 think make the decision and make the time frame based off the
17 best available information with certain offramps or changes,
18 you know. But make the decision. That's what's going to
19 have to happen first. So step one.

20 I can go more into some of the other things that
21 you talked about, but I just wanted to sort of bring that to
22 light first.

23 COMMISSIONER GUNDA: Sorry, Michael. I just want
24 to clarify, I think THAT, you know, in the flowchart, I'm
25 thinking, you know, we have the status quo, which is we do

1 have Aliso Canyon and there is a lot of things we can do
2 under the status quo. I think, you know, but I'm kind of
3 just thinking the other side. Like let's just assume for the
4 sake and for the for the sake of having a solid conversation
5 here, let's say Aliso Canyon is gone, right. Like how do we
6 kind of figure out, you know, some sort of amortization when
7 we feel, you know, the risk has been mitigated enough that
8 we're ready to do this? Right. I mean, the same thing goes
9 to all policy questions here, right? I mean, you know, that
10 how much do we -- do we order in terms of procurement? I
11 mean, we have LOLE standard, you know, one day in 10 years.
12 And then at that point, miraculously, we all feel okay, we're
13 good to go. You know, we'll kind of look at that risk. So I
14 think the kind of idea it is, you know from me, you know,
15 this is kind of not to force kind of a conversation in the
16 wrong direction, but how do we even come up with that set of
17 options? But that is prudently considered. We're, okay, now
18 that we've checked these buckets, we feel pretty good to get
19 it closed. And I think I would love to hear your thoughts
20 along those lines. Michael.

21 MR. COLVIN: Okay. So I appreciate that. So for
22 me, I think there's both the options and the metrics and so I
23 think there are kind of three metrics to consider. The first
24 one is overall cost based on the customer category and really
25 looking at core customer and residential services such as

1 that, and then the noncore customers themselves because I
2 think even if you were trying to figure out a way to shut
3 Aliso down, there's a lot of options to help alleviate the
4 burdens that will be hard. But I think there's a lot of
5 options to alleviate burdens onto some of the core customers
6 and some of the residential customers. I think it's, you
7 know harder if you're a renter and harder if you're in a low
8 income situation.

9 You know, there are some options that are out
10 there. If you're a noncore customer, you might not have the
11 natural hedging that the gas utility uses optimally so that
12 the actual physical storage is still partially there. There
13 are some things that we have to think through. Well, how do
14 we move gas around fast enough to meet all of the pipeline
15 transport needs that are out there without that sort of
16 centralized hub of that storage facility? And that's going
17 to mean new investments into the gas system. And so I think
18 one of the early steps that's going to be required is, well,
19 how do we move that gas around for the remaining large
20 noncore customers? And are there ways that we can reduce
21 that gas demand to alleviate some of those new investments?
22 And that's when you get into the non-pipeline alternative
23 options that are out there. But I think kind of going
24 through in that structure is going to be really helpful. So
25 those are some of the metrics that I guess I would suggest

1 that get developed in your mind first to help you with that
2 decision making of what's the affordability impact based on
3 the customer class and then what are the system demands on
4 the remaining customers who want to exercise some of the
5 affordability options. And then I would look to the non-
6 pipeline alternatives, knowing that that's always sort of the
7 most cost effective option that's out there. There are a
8 couple of other options that are available that will help you
9 reduce some of the spikiness. That demand, you know, some
10 wholesale trading reforms, some gas demand response reform,
11 some other things. That's not going to solve that problem
12 long term, but they might help you in some of the transition
13 stuff.

14 You know, I note right now that there really isn't
15 a good statewide gas demand response exclusive program. You
16 know we have some trading, we have some hedging, and some
17 other stuff, but we don't have a gas DR program in the same
18 way we have electric. There hasn't been a need for it in the
19 same way. We don't have gas intraday price volatility in the
20 same way. But we might have to start thinking along those
21 lines of how do we do that? So I guess, you know, coming up
22 with those menu of options of one of the demand-side options
23 that can be done to help smooth some of these things out,
24 knowing that we wouldn't have the storage facility that we
25 kind of used to help rely on some of that, will be a helpful

1 next step. I'm probably talking too much, so I'll yield the
2 mic back over to others. But happy to, you know, give you
3 more ideas later if you'd like.

4 And Commissioner, it looks like you're on mute.

5 COMMISSIONER GUNDA: Oh no. Thank you. I was just
6 saying no, I think you wet it up really well. Thanks,
7 Michael. Really appreciate that.

8 MR. RONDOU: I would -- I would just add, you know
9 in 2035, it will have little to no relevance to LAWDP, based
10 on our planning, you know, plans to be carbon free by 2035.
11 Between now and that time, gas usage will drop. The peak
12 will be, you know, similar to what it's been, in the future.
13 But what I haven't talked a lot about is the unprecedented
14 investment in local transmission. So transmission within the
15 Basin and the need for having outages along existing
16 transmission lines to upgrade those lines over the next 10
17 years. And we typically do those upgrades in the winter
18 opposite our electric peak. And after the Aliso Canyon
19 incident, we had delayed some of our transmission upgrades
20 due to that. So I think there needs to be a really -- once
21 we have a schedule of our transmission needs, and there's,
22 you know I would imagine that as more and more utilities
23 adopt more aggressive goals towards full decarbonization,
24 there's going to be a growing realization that transmission,
25 no matter what their strategy, is going to need to grow, even

1 if it's a local strategy, they're still going to need the
2 significant more, significantly more transmission, not
3 necessarily new corridors, but upgrades, and in some cases
4 new corridors.

5 So understanding how the phasing of those upgrades
6 may or may not coincide with the need to use storage and
7 whether or not the likelihood of those coinciding is a -- an
8 acceptable risk to LADWP and is an acceptable risk to the
9 state. And that's an extraordinarily hard thing to estimate
10 because it's qualitative, because you need to think about as
11 we all transition down the, you know, world's most aggressive
12 path towards decarbonization, we're trying to lead the world
13 and should we stumble significantly along that path, what
14 will that mean for our ability to lead the rest of the
15 country and the rest of the world? So not to be dramatic,
16 but I do think it is worth understanding that risk and
17 understanding, you know, our ability to lead versus be looked
18 at an example of having a major, major stumble along the way.
19 I think it's worth, you know, thinking that through and
20 modeling it to the degree that it can be modeled.

21 COMMISISONER GUNDA: Thanks, Jason. So really
22 appreciate that.

23 MR. MILLAR: It's Neil here. The other thing I
24 would just like to add is that the risks that are being
25 considered. Are actually growing in terms of the type of

1 risk and the range of possible outcomes. Climate change,
2 unfortunately, is alive and well. The temperature variations
3 we're seeing, the extreme weather events are becoming far
4 more common. We are facing riskier times and those impose
5 additional risks on the system. So the more conventional
6 approaches that worked well for many years just aren't going
7 to get us where we need to be. We're also at a time where,
8 you know, the phrase least regrets planning largely came out
9 of, was largely employed in the transmission industry for
10 many years, looking at what projects are supportable,
11 regardless of which of many scenarios plays out. And I don't
12 believe we're at a point where that will get us where we need
13 to be anymore.

14 We are at a point where some firm, bolder decisions
15 are going to have to be made to take us to the next level,
16 committing to certain paths. But we don't have to commit to
17 the 20 or 30 year path. I think we need to start down some
18 paths, learn, build, and adapt as we go through some of those
19 trajectories. I do worry at times that we get caught up in
20 our own analysis thinking that we have to develop the perfect
21 20 or 30 year plan before we can move on what we need in the
22 next five years. We need to be a bit bolder on that
23 collectively across all the, but also looking holistically
24 across risks and demands we're placing on the gas system,
25 what's happening on the transmission system, and what's

1 happening with the resource fleet as well. So I think we
2 need to consider that broader range, as well as the fact that
3 the world out there is getting riskier than it was even a few
4 years ago, especially as it affects electricity demand.

5 Oh. And I should also, I just want to tag on to
6 something that Jason mentioned. The role, as the
7 transmission system has been loaded up more heavily, managing
8 construction outages is now becoming a much more important
9 consideration, even in deciding what transmission
10 alternatives are viable, is the next step because it doesn't
11 matter how good the long term transmission option would play
12 out if we simply can't get the construction outages, we need
13 to build it. And that's actually starting to play a larger
14 and larger role in our consideration of different
15 transmission alternatives. Can we even build that upgrade?
16 Can we reconductor or that line, recognizing that it's going
17 to be out of service for six or eight months? Those are
18 becoming a bigger issue as the system gets pushed harder and
19 harder. Thanks.

20 MR. NOH: And Commissioner Gunda, I'll be brief. I
21 think, in your question about the flowchart of risks, like
22 Neil said, there's a lot that we can do now. There's going
23 to be, you know, a lot of resource build out that needs to
24 occur over the next five years or more. If we can
25 incentivize storage build out in that area to reduce reliance

1 on Aliso, that'll go a long way.

2 I think, to your question of long term, you know,
3 completely retiring Aliso, you know, better understanding
4 what those needs are and what the value that it provides, you
5 know, to the degree that we need long duration storage or
6 seasonal storage, electrical storage. You know, we
7 could -- we can better understand that. And I think soon,
8 once we see some procurement results, we'll realize that long
9 duration storage is viable. Not all long duration storage is
10 pre-commercial or in the R&D phase. We know a lot of
11 technologies that are available today and are yet in the
12 queue.

13 COMMISSIONER GUNDA: Thanks all. Thank you so much
14 for your thoughts. That's really helpful.

15 I think, for me, I think, you know, as I think
16 through it, you know we have these choices of 0-1. Right.
17 And then, you know, right in the middle is how long -- how
18 long is the journey? And I think you know, if we put the how
19 long is the journey aside, having some high level thinking on
20 here are some things we need to hit to really feel
21 comfortable with the risk is kind of really helpful. So this
22 conversation is really, really helpful for me. So thank you.

23 COMMISSIONER GUZMAN ACEVES: Thank you,
24 Commissioner Gunda. Commissioner Rechtschaffen.

25 COMMISSIONER RECHTSCHAFFEN: Thank you. I'm going

1 to have to sign off. I just want to thank everybody. I got
2 to get started on the next birthday presents. Since the
3 birthday present for Neil was 11,500 megawatts, I don't know
4 what the next -- how we top that for president, for
5 Commissioner McAllister's presents. You know, I guess it
6 will be a bigger megawatt order. But I do want to thank
7 everybody for their great participation.

8 I do want to also note how wonderful it is, how
9 blessed we are that we have the grid operator in California
10 with Neil, and Elliott, and others providing the kind of
11 leadership that they are exhorting the rest of us to be
12 bolder and not worry about least regrets, to embrace the
13 challenge of climate change. I -- that's such welcome music
14 to our ears. Neil is exactly right. And I just want to say
15 how appreciative we are that we have such a fantastic partner
16 in the California ISO as well as the Energy Commission.

17 One thing that -- I'm the lead, the lead
18 Commissioner on the IRP. You heard Nathan Barcic allude to
19 this briefly in his presentation. But one clear message for
20 us going forward is we need to think very carefully and
21 intentionally about the extent to which we direct procurement
22 in the LA Basin, in the Aliso area to deal with what the
23 options of shutting down Aliso, or phasing it out and so
24 forth, so that we're in the best position to have the most
25 robust set of options. And we're not -- we don't tie our

1 hands in one Proceeding for what we're doing in another
2 Proceeding. That's a really important lesson from today. As
3 Neil said in his slides, we didn't -- we haven't done this in
4 the last two procurement orders in IRP, but it was raised by
5 the parties in this most recent mid-term reliability
6 procurement. We did it in the long term for long term
7 Planning -- Procurement Planning Process. And it's something
8 that's very much on the table now that we're going to give a
9 great deal of thought going forward.

10 So with that, I want to thank everybody. I'm going
11 to sign off for now. And I appreciate everyone's tremendous
12 work in these two days of workshops.

13 COMMISSIONER GUZMAN ACEVES: Thank you. Elliot.
14 Go ahead.

15 PRESIDENT MAINZER: Yeah. Thank you, Commissioner
16 Rechtschaffen, to all of you. First of all, I really
17 appreciate that last comment and right back at you all. You
18 know, at the ISO we couldn't, you know, just couldn't be more
19 honored to have such great partners. And this is such a
20 pivotal time for the state. I wanted just to apologize for
21 just a little bit MIA this afternoon. We've been dealing
22 with some pretty heavy chop on the grid today. We
23 just -- we've lost the big transmission line coming into
24 California because of fires in Oregon. And so everybody gets
25 to go home tonight, turn the thermostat up to seventy eight,

1 and shift their appliance usage out of the net peak and keep
2 the lights off and try to stay comfortable. It's going to be
3 a -- it's going to be a tight evening a I think it's just
4 a -- just a really, you know with the climate signal changing
5 and kind of heat that's breaking up, potentially record
6 temperatures in Vegas this weekend. It's just another
7 reminder to all of us of the, just the incredible urgency and
8 absolute importance of the work that all of you are doing
9 from the staff level right up to Commissioners.

10 So we are, you know, here to just absolutely
11 support the state all the way in meeting these goals and also
12 just trying to be super honest and intellectually objective
13 about what we need to do to get that reserve margin back in
14 the system, have a little bit more buffer so that we can, you
15 know, meet this transition that's so important as reliably as
16 possible. So I want to commend all of you. It was a great,
17 great couple of days of discussion, very enriching. And I'm
18 going to go back and watch a replay in a couple of seconds of
19 this that I missed. And I wanted to thank you all for the
20 leadership. Yeah.

21 COMMISISONER GUZMAN ACEVES: Thank you, Elliot. I
22 do want to maybe pause if any other Commissioners needed to
23 go or any other. We do have a little bit of a, I see one
24 question in the chat so I did want to give an opportunity for
25 the public to weigh in here. So Heather, do I turn to you

1 for that? I see.

2 MS. RAITT: Sure. Yeah. Thank you, Commissioner.
3 Jennifer Compagna, why don't you go ahead and if you could
4 read that.

5 MS. CAMPAGNA: Yes. Absolutely. From Mike Florio.
6 If the goal is to reduce the need for Aliso Canyon, wouldn't
7 preventing new gas demand by eliminating line extension
8 allowances for new gas customers, be a great place to start?

9 COMMISSIONER GUZMAN ACEVES: And I see that
10 Commissioner Rechtschaffen also provided a response. Would
11 you like to read that also?

12 MS. CAMPAGNA: Yes. I'm sorry.

13 This is an issue that has been teed up in this
14 CPUC's Building Decarbonization Proceeding.

15 COMMISSIONER GUZMAN ACEVES: Thank you.

16 MS. CAMPAGNA: Mm-hmm.

17 COMMISSIONER MCALLISTER: I'll go. And also, this
18 is Commissioner McAllister. In our Building Decarbonization
19 work on our AB3232 and also, to some extent, in the IEPR this
20 year on other tracks than the Reliability Track, particularly
21 the Natural Gas Track, the Building Decarbonization Track.
22 That issue is also going to get some discussion. I think
23 it's pretty much, you know, on the radar for sure. So I
24 appreciate Mike Florio bringing that up.

25 COMMISSIONER GUZMAN ACEVES: Excellent point from

1 former Commissioner Florio. Let's not make the problem
2 worse. Okay. And then, Heather, can you remind me, do we
3 have anyone else in the queue?

4 MS. RAITT: It doesn't look like it.

5 COMMISSIONER GUZMAN ACEVES: I see some hands
6 raised.

7 MS. RAITT: Yeah, I think that would be for public
8 comment.

9 COMMISSIONER GUZMAN ACEVES: Okay.

10 MS. RAITT: So we can -- and it's just about time
11 that it's few more minutes until we need to go to public
12 comment if you'd like.

13 COMMISSIONER GUZMAN ACEVES: I see. Thank you for
14 clarifying. Well, I think I also want to thank you and I
15 certainly will give you guys each an opportunity for any
16 final thoughts. But I think that you've certainly provided
17 all of us in our respective lanes here as we deal with this
18 issue overall, and in this particular Basin, to really have a
19 set of actions that we can work on together via what Jason
20 and Neil were talking about, local and regional transmission
21 and getting going on that. As well as additional local
22 resources that we're all looking for, more storage, more
23 front of the meter, behind the meter, next to the substation,
24 next to the generator. All of those are excellent. And as
25 Mr. Florio just said, reducing that demand and certainly not

1 increasing it. So why don't we, if you have any final
2 thoughts, I think that would be good, and included in the
3 panelists and any of the Commissioners. Okay. Not seen any.
4 I don't know.

5 COMMISSIONER GUNDA: So Commissioner, I would -- I
6 would propose that we go to public comment and then kind of
7 have any closing remarks that we might have from the dais.

8 COMMISSIONER GUZMAN ACEVES: Excellent. Thank you.
9 Okay, Heather.

10 MS. RAITT: Okay. Thank you. So we do have
11 RoseMary Avalos from the Public Advisor's Office to go
12 through the public comment. Go ahead, RoseMary.

13 MS. AVALOS: Thank you, Heather. So commenters,
14 please allow one person per organization to make a comment
15 and comments will be limited to three minutes per speaker. I
16 will first call on folks using the raised hand feature on
17 Zoom. Let's see here. Let's go to Marlon Santa Cruz. Your
18 line is open. Please state your and spell your name and let
19 us know your affiliation for the record, and do not use the
20 speakerphone feature when talking because we may not be able
21 to hear you clearly. Go ahead, Marlon. Your line is open.
22 You may have to unmute on your own as well.

23 MR. SANTA CRUZ: Excellent, could you hear me now?

24 MS. AVALOS: Yes.

25 MR. SANTA CRUZ: right on. My name is Marlon Santa

1 Cruz. Marlon like the actor, not the fish. Santa Cruz like
2 the city. And I am the natural gas supply manager for the
3 Los Angeles Department of Water and Power. So of course, I'd
4 like to first thank you for hearing me out and very much
5 appreciate all the presentations that were given today.

6 Briefly, to echo comments made by both Jason and by
7 Neil, before making my comment. And that LADWP is working
8 aggressively toward meeting its goals of environmental
9 stewardship and reducing its reliance on natural gas.
10 However, in the coming years, as we do so, the storm is only
11 going to get worse before it gets better. Namely, the
12 continued integration of renewable energy is going to
13 exacerbate the problem of the evening ramp, whereas solar
14 energy goes away, people come home to hot buildings and they
15 have to turn on the air conditioners, and we have that
16 infamous duck curve. That hourly ramp is something that is
17 of concern to me as an engineer.

18 So a recent conversation that we have actually
19 begun having amongst the joint agencies is that perhaps
20 instead of looking at daily totals, with regards to send out
21 from SoCalGas, we should be focusing on the hourly ramps that
22 occur in that 4-hour window as the sun is going down. Now,
23 we understand that winter burns far exceed those of summer.
24 But as we have seen in the presentations, the electrification
25 of both the transportation sector and of buildings could be a

1 sleeping giant that we may need to address.

2 So my suggestion is just that the hydraulic models
3 also look at that, with the potential for the increased
4 reliance on natural gas-fired generation in the LA Basin to
5 meet the demand in the future years, especially for the time
6 horizons of 2027 and 2035, after which SoCalGas may no longer
7 have its largest storage asset to be able to balance the
8 system. That is my comment.

9 MS. AVALOS: Thank you. I'd like to give a
10 reminder to the folks on the phone to *9 to raise your hand
11 and *6 to mute and unmute your line.

12 Now we'll move on to the next raised hand. Patty
13 Glueck, you may speak. You may need to open your line as
14 well. Go ahead. Open your line.

15 MS. GLUECK: Okay, thank you. I'm Patty Glueck,
16 G-L-U-E-C-K, a member of the Aliso Canyon Health Study
17 Community Advisory Group. One important aspect that rarely
18 gets mentioned in these workshops these last four years are
19 the health and safety issues that Aliso Canyon presents to
20 more than 1.5 million residents. Only one reference today in
21 the LA100 Plan presentation, which I appreciate. Here's what
22 to consider. Poly toxic material, including carcinogens, get
23 released by these wells all the time. Diagnosis of cancer
24 keep increasing ever since the 2015 blow-out began. The
25 Santa Susana fault line runs every well at Aliso. If this

1 fault erupts, or other faults nearby, many wells can be
2 damaged at once, according to a geologist at Cal State
3 Northridge. Almost -- and also, we almost found out what
4 would happen if a fire hits those wells when LaSalle Ridge
5 fire reached Aliso in 2019. These events could mean the loss
6 of 1,000 lives.

7 I would also add that FTI, whose being used as a
8 consultant by the CPUC, is known for having a pro fossil fuel
9 bias that should be considered. I ask that you concentrate
10 on alternative energy sources that won't pollute.

11 By the way, this should not include the use of,
12 quote, renewable natural gas, unquote, as that is still a
13 polluting and explosive material that should not be stored at
14 Aliso or anywhere else. So please shut down Aliso as soon as
15 possible, not in 2035, but really soon as there's many lives
16 at risk each day this dangerous facility is open. Our health
17 should be more important than simple wealth. Well thank you.

18 MS. AVALOS: Thank you. And a reminder to those
19 making comments, please state and spell your name and if
20 there is an affiliation you have, and we need that for the
21 record. So I'll call on the next person. Helen Attai, your
22 line is open. You may need to unmute on your end, Helen.

23 MS. ATTAI: Oh. Can you hear me now?

24 MS. AVALOS: Yes.

25 MS. ATTAI: Yeah. My name is Helen Attai,

1 A-T-T-A-I. I am a 30-years residents of Granada Hills, also
2 co-founder of Aliso Mom Alliance. It's been six years, going
3 into seven years, of very difficult years for us. And I know
4 you have heard from the residents during all this time, and I
5 don't know if you have listened or not, but I know you've
6 heard because we have been vocal.

7 And I know we have heard from you guys, from all
8 the agencies, including PUC, HND, two governors, Supervisor
9 Barker [ph.], the Health Department, basically all who can
10 help and will not help. They have not helped. And we have
11 had this Blade Report, which has been a long while, which has
12 proven, and it shows that why Aliso is not needed. And on
13 the shortage of gas that somebody brought up, I hate to say
14 it, it's BS. Since two years Aliso Canyon was not being used
15 after the blow-out and we were fine. I remember we had cold
16 winters and hot summers. Nobody died. Nothing happened. We
17 did fine. We survived. And so this was, it was proven for
18 that two years that it's not needed.

19 It just there is -- we all know about the poly
20 toxins material included, and the carcinogens that are
21 getting released from here. One thing that we know that
22 maybe you guys don't know is that the number of cancers cases
23 and scary diseases that are going up in this community, which
24 is just unbelievable. There were kids, you know, diagnosed
25 with leukemia and going through treatments. And we also know

1 about the earthquakes and fire dangers, which is very real
2 for our area in this year.

3 And the gentleman who mentioned the benefits and
4 economic benefits to customers from the Aliso Canyon, I
5 should add, it's really the greed and what SoCalGas and
6 Sempra Energy is making from this facility, is not the --
7 it's not about customers. And at what cost? What cost? I
8 mean life of all the residents are in danger and you are
9 talking human dollars. I mean, come on.

10 If you notice we had before, previous times, we had
11 a lot of residents to give public comments, but right now,
12 some of those residents, sadly they're dead or they're in
13 hospitals getting chemo, or going through radiation, and
14 surgeries, and all the treatments that they're getting. And
15 that's very disappointing. It's very disappointing, you
16 know, these other agencies who are supposed to be taking care
17 of the health of the residents and be concerned, but we don't
18 see any concerns at all coming, you know, for any of us
19 residents. And it's just -- it's just come on. It's
20 been -- it's been seven years almost. I mean it's been six
21 years is over, we are getting for seven years and what
22 country are we living in?

23 Please shut this place down, you know, and just do
24 the right thing. Thank you.

25 MS. AVALOS: Thank you, Helen. Now we'll move on

1 to our commenter. Jane Fowler, your line is open. Jane.

2 MS. FOWLER: Hi. My name is Jane Fowler, J-A-N-E
3 F-O-W-L-E-R and I live in Granada Hills. Oh, I hear the
4 frustrations of, you know, fellow residents that live here.
5 I have been coming to your workshops for many years now and I
6 do have to say I am very excited, and I feel that we're
7 getting closer to shutting Aliso down. I really admire and
8 respect all the time you're putting into this. I would love
9 if we could, you know, get Aliso shut down as fast as
10 possible. I just want to tell you that SoCalGas, you know,
11 they don't let the community know when they're venting or
12 when they're doing their acid washing, and in addition to
13 their testimony of two leaks per day at the facility, all the
14 poly toxins and the carcinogens are used to get intermittent
15 heart palpitations from Aliso. Now I have full on heart
16 problems. I have a failing liver. My husband has unknown
17 blood disorders. And I tell you this just to remind you that
18 our health is impacted. You know, all the creatures, my dog
19 died. So all creatures and our planet is impacted, you know.
20 Thus global warming. You know, I don't know a lot, but I do
21 know that the 19 mitigation measures that were used when
22 Aliso was not allowed to be used worked for almost two years.

23 Just other little points that me as a resident want
24 to make, that the demand is going down and growing renewables
25 are, you know, just becoming more and more, becoming better.

1 Also, I just want to point out that the property that
2 SoCalGas is on is like primo property for solar and wind.
3 Governor Newsom, the County Board of Supervisors, the LA City
4 Council, all unanimously voted for Aliso to be shut down.
5 And like Michael Colvin said, a decision must be made and
6 quote, make the decision. So I hope you all will make a
7 decision soon. Thank you so much for your great work and
8 getting us to a cleaner planet.

9 Also, one just last quick thing is to make sure the
10 gas company cleans up before they leave. Okay. Thank you so
11 much.

12 MS. AVALOS: Thank you. And A reminder to those on
13 the phone to *9 to raise your hand. I'll give a few seconds
14 to see if we have any raised hand on the phone.

15 Okay. Seeing that there are no raised hands, that
16 completes public comment. I turn now to Commissioner Gunda.

17 COMMISSIONER GUNDA: Thank you, RoseMary. Thank
18 you to the commenters for taking the time to provide the
19 public comment. Again, I think it's been an incredibly
20 thoughtful two days of information. You know, I just want to
21 really thank all the panelists and collaborators from both
22 CPUC, the staff, the Commissioners, Elliot from CAISO for all
23 kind of taking the time to make this as open and useful
24 conversation as possible.

25 I just want to make sure I take this opportunity to

1 say that the CEC has an important role in ensuring that we
2 can be in a robust public process. And that's what the CEC
3 is for, to convene a public process, to think through this,
4 and then develop the necessary options for us all to make
5 decisions on. And then again, it needs to be underpinned by,
6 you know, data and analysis that's comprehensive and that has
7 integrity, that is there is trust and the information that
8 we're providing to each other. So I just I just want to
9 thank everybody for taking the time to provide those
10 analysis.

11 And I think the takeaway message from me is climate
12 crisis is here to stay. We are we are over that point where
13 a lot of things that are happening that we need to consider
14 in a more accelerated fashion. You know, some of the things
15 that we -- that we thought would happen in 2050 are happening
16 in 2020. So this is real. We need to think through, you
17 know, how do we ensure reliability, safety in this particular
18 circumstance? I think more importantly, what it is really
19 showing is the interconnectedness of all the Energy Planning
20 and systems. And we cannot do this in a silo, not in a
21 sector, or not in an agency. And I'm glad that we are doing
22 this comprehensively together and we are taking the time to
23 give it the due process to develop the options.

24 So I know there's one other commenter, Norman
25 Petersen. I don't know if we want to -- I'll defer to you.

1 So Heather, if we want to give Mr. Peterson a chance to make
2 the public comment --

3 MS. RAITT: Okay.

4 COMMISSIONER GUNDA: -- before we pass it on to
5 Commissioner McAllister.

6 MS. RAITT: If you'd like to you. We normally --

7 COMMISSIONER GUNDA: Yeah.

8 MS. RAITT: -- once we take public comment, it's
9 normally just done, but I guess I could --

10 COMMISSIONER GUNDA: Forgive me for that mistake,
11 but I'll -- let's just use it.

12 MS. RAITT: Okay. So go ahead. Can you open his
13 line or no? RoseMary?

14 MS. AVALOS: This is RoseMary from the Public
15 Adviser's Office. You may need to unmute on your end. Check
16 your line to check if you can unmute. Norman, you have an
17 opportunity to -- there you go. Go ahead and unmute on your
18 end.

19 MR. PETERSON: I believe I am unmuted. Can you
20 hear me?

21 MS. AVALOS: Yes.

22 MR. PETERSON: Okay. Norman Peterson, Southern
23 California Generation Coalition. I just wanted to make a
24 quick comment to tie together a point that came up this
25 morning with the point that Jason, and Neil Millar were

1 making at the very end of their comments this afternoon. And
2 that was about, well I think Neil, called construction
3 outages. Outages during the course of a construction
4 project, or delays in a transmission construction project
5 that occur because you just simply can't take the
6 transmission line, the electric transmission line out of
7 service because you need it to maintain service during the
8 winter time when otherwise the electric utility would be
9 doing its work on its transmission lines.

10 This morning, I asked the representative from
11 SoCalGas about what kind of transmission
12 capacity -- capacities they would they were looking for after
13 October 1 this year. Well, Line 4,000 is back. What would
14 Line, the capacity of line 4,000 be? What would the capacity
15 through Line 352 be? What would be the capacity on their
16 Northern System if we got back up to normal on the Northern
17 System? Well, that would be a big help. LADWP, to just give
18 you an example, and this is a matter of public knowledge,
19 it's something that's come up in the course of the LADWP
20 Stakeholder events that they've held about transmission,
21 electric transmission. They have a line, Valley-Rinaldi,
22 that has been delayed repeatedly the last several lines --
23 several years. If we're going to eliminate, something that
24 Commissioner Guzman Aceves mentioned at the very top this
25 afternoon, if we're going to drive down or even eliminate

1 minimal local generation requirements, we're going to have to
2 have minimum local transmission upgrades. But the Valley-
3 Rinaldi line has been delayed winter after winter because
4 we've had inadequate transmission capacity, gas transmission
5 capacity in the SoCalGas system. Yet SoCalGas is being very
6 non-transparent about the amount of transmission capacity
7 that we will actually have available to us after they
8 complete what they say are the projects they have underway on
9 Line 4,000 and others.

10 It would be helpful if the CPUC would put a little
11 bit of pressure on SoCalGas to be more transmission
12 about -- to be more transparent about the amount of
13 transmission that they'll be able to make available to us
14 during the winter so that we can proceed with the electric
15 transmission projects that we need to complete. And thank
16 you very much for the opportunity.

17 MS. AVALOS: Thank you for your comments and that
18 completes the public comment period.

19 COMMISSIONER GUNDA: Thank you, Rosemary. I
20 promise I will not throw a wrench in the process. So with
21 that, maybe Commissioner McAllister and since this has been a
22 natural gas kind of day, can have maybe Commissioner Guzman
23 Aceves close it at the end.

24 COMMISSIONER MCALLISTER: Great. Thank you,
25 Commissioner Gunda, and thank you for your leadership on

1 this, together with, well really for both days and this
2 afternoon, together with Commissioner Guzman Aceves. I
3 really appreciate you both and just bringing us all together
4 to creating the environment that's also collaborative and
5 open and frank. And I think, as Elliot said, you know, sort
6 of honest and fact based and really just, you know, really
7 transparently so.

8 So I don't have a lot of substance to add, in terms
9 of the discussion. I think it's really touched, you know,
10 the main issues that we face. But just wanted to reiterate,
11 because I think it can't be overstated, how clear it is that
12 climate change is here. And it's so in our faces I think,
13 you know, with the fires and the incredible heat waves and
14 the long term drought, that's just deeply drying out the
15 whole west, and certainly California, North and South, we
16 just -- we don't have the regional diversity in real time
17 that we once could count on to sort of help us iron out those
18 issues as they come up in one place or another. It really,
19 west-wide we're going to be seeing these trends.

20 And California, historically, we've thought about
21 emergencies like earthquakes as being, you know, one of the
22 things we really need to be prepared for and that has not
23 gone away. We even had one yesterday. And I think that
24 really raised that flag, you know, again. And so there are
25 so many challenges, both, you know that we historically

1 understood and had to deal with and now new multitude of
2 challenges due to climate change that our energy systems have
3 to adapt to. And it's going to take investment. It's going
4 to take coordination. And I think, you know, all of us in
5 one way or another, understand the urgency.

6 I think Neil, you know, last, the last to sort of
7 state it directly was Neil, with you know, we need to get on
8 with these investments and really determine how we can work
9 together on doing something a little bit different than we
10 had in the past. And so I think, you know, we're as a state,
11 we accept that. And it just highlights the need for more of
12 these forums to keep digging in and really following up
13 repeatedly and diligently and incessantly to figure out what
14 we're actually going to do, and you know, what actions we're
15 going to take in real time and quickly.

16 So and along those lines, just I would be remiss if
17 I didn't say, hey, join us Monday, Tuesday for the Building
18 Decarbonization Workshops. That is another really key
19 element of this transition and this decarbonization journey
20 that we're on as state. And also something that is urgent
21 and needs to happen fast and find -- we need to find
22 resources for that as well.

23 And so with that, I think I will pass it back to
24 you, Commissioner Gunda, or Commissioner Guzman Aceves, I'll
25 give the mic to you to wrap us up.

1 COMMISSIONER GUZMAN ACEVES: Thank you,
2 Commissioner McAllister, Commissioner Gunda, President
3 Mainzer, everyone really who's still on here I see. Really
4 the call that you are talking about and the level of
5 coordination that we do so well at a planning level on the
6 state side, on the system side, just looking at procurement
7 needs and, you know, demand needs, everything that we do so
8 well together we're needing a take it down to these local
9 areas and nothing more demanding on us in the LA Basin.

10 And so I think this, you know, whenever we want to
11 call it, the decommissioning demands moving into the future,
12 it -- this is starting now. And just as our last public
13 commenter said, the level of coordination that's needed is
14 going to be requiring our involvement at these local levels
15 that we really haven't done before. Not that we haven't done
16 it before, but it's been pretty piecemeal. So we know we've
17 certainly done different parts of this and needing to do it
18 in such a more proactive and intentional manner. So I look
19 forward to debriefing with all of you on how best to do this.

20 And certainly, just want to acknowledge that like
21 many of our system needs are often communities that bear the
22 brunt of the reliability for the whole state. And I just
23 want to acknowledge that and that it's a constant concern of
24 ours as well. So thank you. And I look forward to the next
25 steps.

1 COMMISSIONER GUZMAN ACEVES: Okay. I guess I'm
2 just pass it onto Heather to kind of close it up, but I mean,
3 I just forgot to mention so I think I'll take this
4 opportunity to say thanks to Melissa Jones, Jean Spencer, for
5 helping coordinate this meeting and also Commissioner Martha
6 Guzman Aceves adviser, Maria. Without the three of them,
7 really helped shape this -- shape this day and the secret
8 weapon of Simon Baker in the background. So thanks,
9 everybody, for pulling this together. Heather.

10 MS. RAITT: All right. And I would just echo the
11 thanks and wish everyone a great weekend and hope to see you
12 on Monday for our Building Decarb Workshop.

13 (Whereupon the Joint Agency Workshop Adjourned at 4:40 p.m.)

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of October, 2021.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

October 8, 2021