

**DOCKETED**

<b>Docket Number:</b>	21-IEPR-06
<b>Project Title:</b>	Building Decarbonization and Energy Efficiency
<b>TN #:</b>	241092
<b>Document Title:</b>	Transcript - 100521 IEPR COMMISSIONER WORKSHOP ON GRID-INTERACTIVE EFFICIENT BUILDINGS - Session 2 of 2 Load Flexibility
<b>Description:</b>	IEPR COMMISSIONER WORKSHOP ON GRID-INTERACTIVE EFFICIENT BUILDINGS - Session 2 of 2: Load Flexibility
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	12/29/2021 10:40:11 AM
<b>Docketed Date:</b>	12/29/2021

STATE OF CALIFORNIA

ENERGY COMMISSION

In the matter of:

2021 Integrated Energy ) Docket No. 21-IEPR-06  
Policy Report (2021 IEPR) )  
 ) RE: Building Decarbonization -  
 ) Grid-Interactive Efficient  
 ) Buildings  
\_\_\_\_\_ )

IEPR COMMISSIONER WORKSHOP ON  
GRID-INTERACTIVE EFFICIENT BUILDINGS

REMOTE VIA ZOOM

TUESDAY, OCTOBER 5, 2021

Session 2 of 2: Load Flexibility

2:00 P.M.

Reported by:

Martha Nelson

## APPEARANCES

### COMMISSIONERS

Andrew McAllister, California Energy Commission

Siva Gunda, California Energy Commission

Genevieve Shiroma, California Public Utilities Commission

Darcie Houck, California Public Utilities Commission

### CEC STAFF

Heather Raitt, IEPR Manager

### MODERATOR

Haile Bucaneg, California Energy Commission

### PUBLIC ADVISOR

Rosemary Avalos

### PRESENTERS

Maryam Mozafari, California Public Utilities Commission

Gabriel Taylor, California Energy Commission

Angela Amos, Uplight

Clay Nesler, World Resources Institute

Rois Langner, NREL

Margot Everett, Guidehouse

Liz Reichart, Washington State Department of Commerce

Tamara Dzubay, ecobee

## INDEX

	PAGE
Introduction	4
Opening Remarks	5
Presentations: California Load Flexibility Policies & Programs	11
Maryam Mozafari, CPUC Gabriel Taylor, CEC	
Panel: Scaling up Building Flexibility	32
Moderated by Haile Bucaneg, CEC	
Angela Amos, Uplight Clay Nesler, World Resources Institute Rois Langner, NREL Margot Everett, Guidehouse Liz Reichart, Washington State Department of Commerce Tamara Dzubay, ecobee	
Discussion	92
Zoom Q&A	104
Public Comments	110
Closing Remarks	112
Adjourn	121



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

2:00 P.M.

TUESDAY, OCTOBER 5, 2021

MS. RAITT: Well, good afternoon and welcome back, for those who were here this morning, for today's 2021 IEPR Commissioner Workshop on Grid-Interactive Efficient Buildings. I'm Heather Raitt, the Program Manager for the Integrated Energy Policy Report, which we refer to as the IEPR.

This workshop is being held remotely consistent with Assembly 361, to improve and enhance public access to state meetings during the COVID-19 pandemic. The public can participate with the workshop, consistent with the direction provided in the notice.

This is the afternoon and final session of this workshop. You can follow along schedule, the workshop schedule, and presentations are available on the CEC's website. All IEPR workshops are recorded and the recording will be linked with CEC's website shortly following the workshop. And the written transcript will be available in about a month.

Attendees have the opportunity to

1 participate today by asking questions or up-  
2 voting questions submitted by others through the  
3 Zoom Q&A feature or making comments during the  
4 public comment period at the end of the  
5 afternoon, or by submitting written comments  
6 following the instructions in the meeting notice.  
7 And written comments are due on October 19th.

8           And with that, I'm happy to turn this  
9 over to Commissioner Andrew McAllister, who is  
10 the Lead for the 2021 IEPR.

11           Go ahead and thank you, Commissioner.

12           COMMISSIONER MCALLISTER: Thank you,  
13 Heather. And thank you for another stellar day,  
14 well organized, and really full of content. And  
15 thanks for all you do and the whole IEPR team.  
16 And also, today in particular, the Efficiency  
17 Division has worked really hard to create I  
18 think, really, an amazing couple of half-day  
19 workshops, really, that is going to help us build  
20 the record in a very substantive way.

21           So this morning we had a, really, very  
22 substantive group of presentations on grid-  
23 interactive efficient buildings. And we see that  
24 as a key instrument, really, for achieving a lot  
25 of different things in the state, certainly

1 decarbonization and reliability, but also cost  
2 containment and grid management support, and  
3 equity. And, I think, the equity theme is just  
4 one that we need to continually do better to  
5 really lead with that and organize our program  
6 offerings around that. Certainly, there's a will  
7 to do that across the agencies. And it is, I  
8 think, a really meaningful shift in the way the  
9 state is approaching energy policy in this time  
10 of transition over to a clean energy paradigm.

11           So we have a lot of tools is what we  
12 learned this morning. And we have, I think, a  
13 lot of urgency as well. So it's really great to  
14 have on the dais with me, Vice Chair Gunda from  
15 the Energy Commission, and Commissioners Shiroma  
16 and Houck from the PUC. Thank you all for  
17 joining us, I really appreciate it, and for being  
18 with us this morning as well.

19           I don't want to take up too much time  
20 here because I want to get right to the  
21 presentations so that we have time for  
22 interaction at the end. But, please, I would  
23 welcome some opening comments, if you have any,  
24 from Vice Chair Gunda, or Commissioner Shiroma or  
25 Houck.

1                   COMMISSIONER GUNDA: Good afternoon,  
2 Commissioner McAllister, Commissioner Houck, and  
3 Commissioner Shiroma. Just want to extend our  
4 thanks to the IEPR Team and the Efficiency  
5 Division. I just want to note and reiterate how  
6 wonderful a panel this morning we had, very  
7 substantive, a lot of information to think  
8 through, a lot of opportunities. But I think, as  
9 Commissioner Shiroma noted, it's also a very  
10 daunting that we have in front of us to really  
11 incorporate all that we've heard this morning  
12 into the programs and processes we have, so I'm  
13 looking forward to the afternoon session.

14                   With that, I'll pass it on to  
15 Commissioner Shiroma.

16                   COMMISSIONER SHIROMA: Thank you. Thank  
17 you, Vice Chair Gunda and Commissioner  
18 McAllister, and to my colleague, Commissioner  
19 Houck. We're pleased to join everyone on the  
20 dais and to hear the presentations. This morning  
21 was very interesting, insightful and, indeed,  
22 daunting. But I'm excited about the work ahead,  
23 the opportunities.

24                   I think the reminder, the view that  
25 equity is first and foremost. If we can solve

1 what we need to do with this very sophisticated,  
2 you know, this very daunting software challenge  
3 ahead, the behavioral attributes that we need to  
4 listen to and to really include what we hear from  
5 the communities, if we can solve this for our  
6 low-income communities, we'll solve it for all.

7           And so as we're going through these  
8 workshops, thinking through what it means for the  
9 CARE/FERA/ESA Low Income Energy Discount  
10 Programs, I'm the assigned to Commissioner to  
11 that proceeding, we adopted out a \$2 billion  
12 budget for the Energy Savings Assessment Program,  
13 the ESA Program, for 2021 through 2026. And  
14 we'll hear more about, I think, what's happening  
15 with the summer reliability, and also to energy  
16 efficiency, which I'm also assigned to.

17           So in the back of my mind is we're  
18 hearing all these very informative and important  
19 discussions and looking for ways to make sure  
20 that we are meshing these programs and really  
21 advancing what we need to do for the future for  
22 our buildings, residential and commercial.

23           Thank you.

24           COMMISSIONER MCALLISTER: Thank you for  
25 being with us.

1 Commissioner Houck?

2 COMMISSIONER HOUCK: Yes. And as I said  
3 this morning, I'm very pleased to be here and  
4 sharing the dais with you, Commissioner  
5 McAllister, Vice Chair Gunda, and Commissioner  
6 Shiroma. I, also, I guess I'm very inspired by  
7 the presentations this morning and looking  
8 forward to the ones this afternoon. There's a  
9 lot of challenges, as has been noted, but there's  
10 tremendous opportunity here. And I think we've  
11 got a lot of opportunities to see some of these  
12 programs and processes that have been out there  
13 for a long time actually becoming reality. So  
14 I'm really looking forward to the presentations  
15 this afternoon.

16 And with that, will turn it back over to  
17 Commissioner McAllister to get us started.

18 COMMISSIONER MCALLISTER: Thank you,  
19 Commissioners, and for your engagement on this.

20 I think it's evident to everybody that  
21 the two Commissions are working really closely  
22 together on any number of issues. And that's  
23 largely due to your leadership as Commissioners  
24 and your sort of willingness to engage on these  
25 difficult issues. And I think together we're

1 going to stand a much better chance of solving  
2 them with our various processes and programs  
3 aligned and really holding ourselves to account  
4 for, you know, the accounting of what's  
5 happening, and the modeling and the forecasting  
6 and everything, you know, all the resource  
7 acquisition and mobilization. And, really, that  
8 has to be done together. Really, at every level  
9 of our two organizations, we just have to be  
10 passing the baton back and forth in a very facile  
11 way.

12           And I really appreciate your volunteerism  
13 to help make that happen, so thank you, again,  
14 for being here this afternoon.

15           And with that, I'll pass over to Heather  
16 to get us started for Maryam Mozafari and Gabe  
17 Taylor from the PUC and the CEC, respectively.

18           MS. RAITT: Great. Well, thanks,  
19 Commissioner.

20           So, as you mentioned, we're starting with  
21 two Staff presentations, one from the CPUC and  
22 one from the Energy Commission. And these are  
23 snapshots of the current state-level programs and  
24 policies relevant to the efficient, connected,  
25 and smart building construction, and with load

1 flexibility in general. So the aim here is to  
2 provide some foundational context for our final  
3 panel discussion of the day, which will be  
4 followed -- which will be focused on how to scale  
5 up load flexibility in California.

6 So as you mentioned, our first presenter  
7 is Maryam Mozafari. And she is a Senior Analyst  
8 with CPUC's Energy Division. And she's currently  
9 the Staff Lead on the supply-side DR and works on  
10 bringing in more clean, reliable, and cost-  
11 effective behind-the-meter resources into  
12 California's energy landscape.

13 So please go ahead, Maryam. Thanks for  
14 being here.

15 MS. MOZAFARI: Good afternoon everyone.  
16 Pleased to be here. I hope everyone's had their  
17 afternoon dose of caffeine and ready for another  
18 round of presentations.

19 My name is Maryam Mozafari and I'll be  
20 going over the California Public Utilities and  
21 the Commissions policies and initiatives as they  
22 pertain to load flexibility, and most in the  
23 context of demand response.

24 And I also apologize for a semi-clear  
25 voice and potential coughing as I'm recovering

1 from a cold.

2 Next slide, please.

3 And so as I mentioned, we'll be going  
4 over a very, very brief introduction to DR and  
5 its history at the PUC. Then I'll be covering  
6 the current and future initiatives at the PUC  
7 that either directly deal with load flexibility  
8 or indirectly has an impact on it.

9 Next slide, please.

10 So this presentation includes an overview  
11 of the CPUC's role in setting policies, programs,  
12 and initiatives that enable demand flex in  
13 response to price signals, grid conditions, or  
14 other incentives. It also only includes demand  
15 response policies and programs under CPUC  
16 jurisdiction and, hence, does not include any DR  
17 policies or programs administered or overseen by  
18 local publicly-owned utilities, other state  
19 agencies, or non investor-owned utility that  
20 serve as entities, so ESPs (phonetic) and CCAs.

21 Next slide, please.

22 I want to do a quick level setting. As  
23 we've been going in and out of EE and DR  
24 frequently, through the morning session, I just  
25 want to make sure that we all understand that

1 we're talking about demand response.

2           In specific, as this slide says, energy  
3 efficiency, we usually refer to as a permanent  
4 one-time change of energy consumption using less  
5 energy to deliver the same or equivalent  
6 function, think of energy efficiency appliances,  
7 weatherization, as opposed to demand response  
8 which is a temporary yet recurring change in  
9 demand in response to various signals or  
10 triggers. It also could lead to some or no loss  
11 of function if your AC is being cycled through  
12 you might feel a difference in the temperature,  
13 or if you're doing precooling you might feel no  
14 loss of service or function.

15           Next slide, please.

16           This slide shows a brief history of  
17 demand response in California. I apologize,  
18 there are some acronyms which are not spelled out  
19 on this slide, merely for the lack of space. I  
20 will be spelling out as I go through them. And  
21 they will be spelled out throughout these slides.

22           So as you see, demand response in  
23 California started in the 1980s, very basic  
24 emergency-only DR, mainly in large industrial and  
25 commercial facilities in the forms of dropping

1 load, closing shop, helping the grid in case of  
2 emergency.

3           In 2004, California established a loading  
4 order which set a priority list for energy  
5 resources in California and stated that  
6 California must first meet its demand by energy  
7 efficiency demand response, renewables, and then  
8 go to conventional generation. We also did some  
9 experiments with DR pilots for residential and  
10 small and medium business.

11           In 2007, California adopted smart meters.  
12 It also integrated its demand response into the  
13 RA framework, which meant that it will be counted  
14 for -- the demand response programs will be  
15 accounted for in the grid planning, and they are  
16 now eligible for capacity payments. California  
17 also started having economic DR, meaning DR that  
18 could be triggered by price signals, and not only  
19 under emergency conditions.

20           In 2010, we rolled out the residential  
21 time of use. The California ISO established its  
22 DR market products, it's PDR and RDRR products.

23           Later on 2012, CPUC adopted the Electric  
24 Rule 24/32 which enabled DR load and DR customers  
25 to feed directly into the CAISO markets using

1 those two products.

2           In 2014, California did a major policy  
3 adoption of bifurcation. I will go through  
4 bifurcation a little bit more in a later slide.  
5 We also launched the early version of the Demand  
6 Response Auction Mechanism Pilot for procuring  
7 third-party demand response for the first time as  
8 an option. And California also rolled out  
9 residential time of use.

10           And in recent years, we've been doing  
11 evaluations on DRAM, doing redesigns and  
12 modifications. We've also seen more procurement  
13 of DR as an RA product by the CCAs, by the  
14 community choice aggregators. And recently,  
15 something that's missing from this slide, we  
16 updated the DR Action Plan 2.0 for 2021 onward.

17           Next slide, please.

18           So this is the bifurcation that I  
19 mentioned on the earlier slide. Basically, in  
20 2014 and 2015, the Commission divided the two --  
21 the IOU programs -- at the time, we mainly had  
22 IOU programs -- into two, essentially, buckets,  
23 into two categories, one, event-based,  
24 dispatchable resources that were put into the  
25 supply-side DR, and the other one, the time

1 variant rates under the load modifying DR.

2           The supply-side DR had an obligation to  
3 be integrated into the ISO markets to offer its  
4 capacity into the market. And then the market  
5 would dispatch. The how and when would be  
6 decided by the grid needs of the ISO market. The  
7 resource will be compensated for capacity by the  
8 load serving entity that it was prepared by. And  
9 it would be compensated for energy by the  
10 California ISO if dispatched.

11           On the load modifying DR which, again,  
12 were driven mostly by time variant rates, the  
13 compensation mechanism is mostly through bill  
14 reduction for the customers.

15           Next slide, please.

16           This is a list of the current and the --  
17 the current proceedings and the new initiatives  
18 that are dealing with load flexibility/demand  
19 response. This is not necessarily a complete  
20 list. There are -- I know that there other. One  
21 of the things that happening in other  
22 proceedings, pilots that are happening in other  
23 proceedings like energy efficiency in the  
24 microgrid in the IDR proceedings. But typically  
25 these proceedings, this list, is where most of

1 the DR topics are housed and addressed. And I'll  
2 be going through them very quickly.

3 Next slide, please.

4 So the first one, the demand response  
5 proceeding, is where everything started. It was  
6 a proceeding that established most of the IOU's  
7 programs and the procurement mechanisms. This is  
8 a current snapshot of the DR portfolio as it  
9 stands today, again, adopted by the DR  
10 proceeding. There are supply-side resources and  
11 load-modifying resources. There are resources  
12 that are purely managed by the investor-owned  
13 utilities and their resources that are managed by  
14 the third-party DRPs.

15 There's an example of each of these  
16 resources. In the interest of time, I will not  
17 go through each and every program here.

18 Next slide, please.

19 This slide goes through the -- gives a  
20 brief overview of the DRAM, the demand response  
21 auction mechanism that we established in  
22 California. It is, typically, an annual reverse  
23 capacity auction held by the IOUs for procurement  
24 of the next year, or sometimes multiple years.  
25 The IOUs pay the DRPs for the aggregated

1 capacity. And they get to count those megawatts  
2 toward their RA obligation. The DR providers are  
3 required to bid that capacity into the ISO energy  
4 markets. And the ISO compensates the DRPs for  
5 the energy when resources are triggered.

6           The chart/table on the right side also  
7 shows that the DRPs -- the IOUs buy the RA  
8 capacity from DRPs and, in return, pay them  
9 capacity payments. DRPs offer that energy into  
10 the CAISO and, if used, CAISO will compensate the  
11 DRPs for the energy use.

12           Next slide, please.

13           This slide has too many numbers, not to  
14 distract you. All I meant to show by this is  
15 that the DRAM Pilot has grown since its  
16 inception, both in terms of the megawatts  
17 procured and the budgets allocated. There are  
18 some anomalies which are mainly because one year  
19 was a half-year or some years were -- there were  
20 two-year procurements. But, in general, it has  
21 grown, both in terms of budgets and megawatts  
22 procured. And these are, obviously, megawatts.

23           Next slide, please.

24           The next rulemaking on the list was the  
25 Summer Reliability rulemaking. This is a recent

1 rulemaking that was established in response to  
2 last year's August heatwave within which the  
3 Commission intends to ensure that we have  
4 sufficient resources for the upcoming summer to  
5 prevent any blackouts.

6           The Phase 1 decision adopted changes to  
7 existing DR programs for incremental RA capacity.  
8 It changed some parameters within the existing  
9 programs. It also established an Emergency Load  
10 Reduction Program, the ELRP program, which is  
11 basically a non-RA voluntary pay-for-performance  
12 program with no CAISO market obligations. The  
13 program is compensated for its incremental load  
14 reduction at \$1.00 per kilowatt hour. And these  
15 megawatts are excluded from RA and CEC's load  
16 forecasting framework, so these are energy-only  
17 products.

18           Next slide, please.

19           I wanted to highlight one of the many  
20 flavors of the ELRP program. And I chose the  
21 virtual power plants because of one aspect that  
22 I'll go through. But it's, basically, the  
23 products within this program are aggregated  
24 managed behind-the-meter hybrid resources, mostly  
25 a combination of storage plus net-metered solar,

1 net-energy-metered solar. These cannot be part  
2 of any other market integrated DR program or at  
3 critical peak pricing or retail real-time pricing  
4 rate. There's a minimum size of 500 kilowatts.  
5 And then the highlight is that these resources  
6 will be compensated for the net export at the  
7 customer site.

8           And the reason I wanted to highlight this  
9 is the Commission has been contemplating about  
10 ways to efficiently integrate exporting DR  
11 resources into the CPUC's resource planning and  
12 into the California grid. And this is the first  
13 time we're experimenting with allowing the export  
14 to be compensated on the DR side in the behind-  
15 the-meter resources.

16           Next slide, please.

17           The other two proceedings that deal with  
18 load flexibility/demand response policies, one is  
19 the 2023 to 2027 IOU DR Applications. This is  
20 where the IOUs will come in with budgets and  
21 program modifications for '23 to '27 program  
22 years. The Commission will review and update  
23 these programs based on the new grid needs.

24           The Resource Adequacy rulemaking is also  
25 dealing with a lot of topics that affect demand

1 response, mainly the QC methodology for demand  
2 response. This is actually a CEC-led stakeholder  
3 process. And in response to CPUC's request, CEC  
4 is doing a lot of heavy lifting on this workshop.  
5 And, hopefully, we'll have one standard or a set  
6 of standard QC methodologies for demand response  
7 at the end of the workshop.

8           There's also other DR-related topics in  
9 the Resource Adequacy rulemaking, there is the  
10 MCC buckets, the Slice of the day proposal. Each  
11 of these are a whole day or whole week topics.  
12 But what I mean is there are a lot of things that  
13 impact demand response in the Resource Adequacy  
14 proceeding as well.

15           And then lastly, the Load Flexibility  
16 rulemaking. This is an upcoming rulemaking out  
17 of -- I'm sorry, next slide, please -- this is an  
18 upcoming rulemaking out of the distributed -- the  
19 DER Action Plan, the Distributed Energy Resources  
20 Action Plan 2.0 Update that we did, I believe,  
21 July of this year -- last year. Sorry, years are  
22 mixing now. But, basically, it has four  
23 different tracks. And two of those tracks  
24 directly deal with load flexibility and demand  
25 response.

1           The first track addresses load  
2 flexibility and rate in terms of rates, though,  
3 mostly.

4           And then track three addresses market  
5 integration, efficient use of behind-the-meter  
6 and front-of-meter DR's integration into the  
7 wholesale markets in support of renewables and  
8 our GHG -- renewables integration and our GHG  
9 reduction goals.

10           And then the last one is the General Rate  
11 Case, the GRC Phase 2 proceedings that also  
12 include several potential dynamic rate pilots.  
13 These are also in the works.

14           But, again, this shows you that there are  
15 many things happening in many different venues at  
16 the CPUC that will touch on load flexibility.

17           And with that, next slide, please.

18           Thank you for having me. On behalf of  
19 the California Public Utilities Commission, we  
20 look very much forward to working with all the  
21 stakeholders in driving California towards its  
22 GHG emission goals.

23           MS. RAITT: Thank you so much, Maryam.  
24 Appreciate that.

25           So next, we'll move on to Gabriel Taylor.

1 And he's a Senior Engineer with the Energy  
2 Commission's Energy Division. And he was the  
3 main orchestrator for bringing this workshop  
4 together.

5 So thank you, Gabe. Go ahead.

6 MR. TAYLOR: Thank you so much, Heather.

7 And thank you, Maryam.

8 Good afternoon, Commissioners. As  
9 Heather mentioned, Maryam and my presentations  
10 are intended as context for the following panel  
11 discussion. And mine will be a very brief  
12 summary of major Energy Commission authority and  
13 programs that are relevant to grid-interactive  
14 efficient buildings and load flexibility.

15 Next slide, please.

16 The Energy Commission has four regulatory  
17 authorities and three major programs that are  
18 relevant here. Setting a statewide minimum  
19 Building Energy Efficiency Standard is one of the  
20 Energy Commission's core regulatory  
21 responsibilities. As the state works toward  
22 widespread decarbonization of buildings the goal  
23 for the Building Standards is to ensure permitted  
24 construction and empowers consumers to  
25 efficiently flex their load automatically in a

1 way that generates value for both households and  
2 business.

3           The current Energy Code, which went into  
4 effect on January 1, 2020, requires residential  
5 distributed solar generation where it makes  
6 sense, or solar readiness, that includes Demand  
7 Management Standards, options for all-electric  
8 construction, and compliance options for heat-  
9 pump water heaters. It also includes  
10 consideration of distributed grid impacts from  
11 solar and battery storage.

12           The next code, which was just adopted in  
13 August and will go into effect in 2023, includes  
14 additional compliance pathways for all-electric  
15 construction and robust requirements for electric  
16 readiness when buildings are not all-electric,  
17 consideration for connected electric heat-pump  
18 water heaters and space heaters, and some  
19 requirements for controlled receptacles.

20           Next slide, please.

21           Another core authority for the Energy  
22 Commission is to develop and update Efficiency  
23 Standards for appliances sold or offered for sale  
24 in California. These standards include minimum  
25 levels of operating efficiency and other cost-

1 effective measures to promote the use of energy-  
2 and water-efficient appliances to protect  
3 consumers from costly inefficient products.

4           Current Appliances Efficiency Standards  
5 apply to a wide range of appliances. And our  
6 staff continually works with stakeholders to  
7 identify new opportunity for such standards.

8           Next slide, please.

9           While we've had the previous two  
10 authorities since the 1970s, in 2019 the CEC was  
11 given new authority to regulate the load  
12 flexibility and greenhouse gas emissions of  
13 appliances sold within the state.

14           In December 2020, CEC Staff held our  
15 first workshop to seek input on how to best use  
16 this new authority, which appliances to regulate,  
17 and whether to focus on specific design  
18 requirements or general performance targets.  
19 Based on info gathered, CEC has outlined a phased  
20 approach for the planned rulemaking, though these  
21 phases may overlap.

22           The work is progressing rapidly. And on  
23 September 1st, CEC Staff released a Request for  
24 Information that asks industry and interested  
25 stakeholders to respond to a range of targeted

1 questions. Please note that the due date for  
2 responses to that RFI was recently extended to  
3 November 1st. Our goal over the next few years  
4 is to use this new regulatory authority to  
5 accelerate innovation in flexible demand  
6 appliances and to protect consumers from  
7 appliances that deny them the opportunity to  
8 easily and cost effectively automate load shift.

9           Next slide, please.

10           The fourth regulatory authority and one  
11 that we have had since the 1970s, as well, is the  
12 Load Management Standards. This authority  
13 focuses on utility programs for electric load  
14 management in three areas, energy storage,  
15 automation, and rates. Our standards aim to  
16 empower consumers to voluntarily automate their  
17 flexible loads to save money, improve grid  
18 reliability, and reduce environmental impact from  
19 new fossil fuel power plants, and to reduce GHG  
20 emissions.

21           Since 2019, CEC Staff have been  
22 developing new load management regulations for  
23 California utilities and aim to release a revised  
24 Staff Report by the end of the year. Staff is  
25 currently engaged in the pre-rulemaking phase,

1 coordinating closely with utilities and  
2 stakeholders, but we are nearly ready to open our  
3 formal rulemaking.

4 I'm actually the Project Manager for this  
5 one, so I'm going to take the opportunity to  
6 acknowledge our team, Gavin Situ, Tiffany Matero,  
7 Morgan Shepherd, David Cuffee, Jim Nelson, and of  
8 course, Karen Herter. Thank you so much for all  
9 your hard work.

10 Next slide, please.

11 As part of the Load Management Standards  
12 work, CEC has developed and completed initial  
13 testing of a publicly-accessible database that  
14 stores time-of-use electricity rates, Flex  
15 Alerts, and greenhouse gas emission signals.

16 The Market Informed Demand Automation  
17 Server, or MIDAS, provides a platform for load-  
18 serving entities to securely upload and store  
19 time varying electrical data in a machine  
20 readable and accessible format. Automation  
21 service providers and load automation technology  
22 can access the data, allowing customers to  
23 automate the load flexibility that they choose  
24 to. The MIDAS database has been designed to  
25 support time varying data at intervals as small

1 as one second with extremely flexible locational  
2 specificity, and uses an internationally-  
3 applicable format.

4           Next slide, please.

5           The CEC's new Vehicle Grid Integration  
6 Unit within our Transportation Division  
7 coordinates analysis and modeling work to support  
8 California's transition to electric  
9 transportation and to ensure that electric  
10 transportation will be an integrated part of our  
11 carbon-neutral reliable and resilient energy  
12 system. This work includes development of an  
13 updated California Vehicle Grid Integration  
14 Roadmap, as well as grid impact analysis tools.  
15 Our VGI staff coordinate with other CEC programs,  
16 state agencies, utilities, manufacturers, and all  
17 other relevant stakeholders on EV Charger  
18 Standards, communications, and interoperability.

19           Next slide, please.

20           In support of all this and to accelerate  
21 development of our next programs and policies,  
22 the CEC recently founded the California Load  
23 Flexibility Research and Development Hub, or  
24 FlexHub, that you've heard a little bit about  
25 earlier today. It runs until March 2025, and for

1 \$16 million. The CalFlexHub brings together all  
2 relevant stakeholders to collaborate on a long-  
3 term research and development effort and will  
4 support the CEC Load Management Standards and  
5 MIDAS.

6 The goals of the FlexHub are to identify  
7 and support promising pre-commercial load  
8 flexibility technologies and facilitate  
9 standardization in the signals used to  
10 communicate dynamic energy and GHG value.

11 Next slide, please.

12 Thank you very much, Commissioners. I'm  
13 happy to report, we're a little bit ahead of  
14 schedule, so there's plenty of time if you'd like  
15 to either ask questions of Maryam or I before the  
16 next panel or to make some comments of your own.

17 COMMISSIONER MCALLISTER: Well, I just  
18 want to thank you, Gabe and Maryam, for the  
19 overviews of what our respective agencies are  
20 doing, and it's a lot. And I think that all the  
21 efforts we can make, I know that that's happening  
22 at multiple staff levels and at the Commissioner  
23 level, that we can make to sort of weave our  
24 efforts together and use standardized approaches  
25 another way, you know, wherever it makes sense,

1 for example, with the MIDAS and with load  
2 management standards and sort of aiming at  
3 helping the marketplace take advantage of those  
4 resources and to lower transaction costs, for  
5 example.

6           So really excited by all of the joint  
7 work and don't have any questions for either of  
8 you but want to invite my colleagues on the dais  
9 to make any comments or questions that they might  
10 have.

11           COMMISSIONER SHIROMA: I'll just make a  
12 comment that, you know, I've worked for the State  
13 of California for over 40 years, and there's  
14 always that challenge of how do you take very  
15 complicated, very technical information,  
16 material, and processes and communicate about  
17 those efforts to take the mystery out of it and  
18 to provide for, you know, a lay audience to at  
19 least understand, what the heck are we doing?

20           And so I want to complement both --  
21 Gabriel and Maryam on going a long ways to  
22 accomplish that. I know that the audience today  
23 is, perhaps, one that is more keenly working in  
24 these arenas and what have you. But even so,  
25 even with my over 40 years of service, I have to

1 have -- you know, please connect the dots for me  
2 on what all this stuff means and what our roles  
3 are.

4           So just wanted to express appreciation  
5 for both of your presentations. Thank you.

6           COMMISSIONER HOUCK: And I just want to  
7 say that I share Commissioner Shiroma's  
8 sentiments. And I appreciate all of the great  
9 work that is being done by Staff at both the PUC  
10 and the Energy Commission on these important  
11 topics.

12           COMMISSIONER MCALLISTER: Thanks to you  
13 both. I agree. I mean, if you sort of envision  
14 what this really has to look like, it has to be  
15 super simple for the customer, it has to be  
16 managed in a way that's completely seamless and  
17 just works; right? And it has to provide clear  
18 value to the customer, otherwise they won't  
19 choose to do it; right? Why would they?

20           So I think that's kind of our challenge  
21 at this end is to package up, as you said,  
22 Commissioner Shiroma, complex -- a complex array  
23 of offerings and make them just appear completely  
24 seamless to the customer, and that's where we  
25 need to head.

1           So, Vice Chair Gunda, if you have any  
2 comments? I don't think so. But I think we'll  
3 just move on then to the next.

4           Thanks to both of you for the  
5 presentations. And that's really great context  
6 for our next panel, Scaling Up building  
7 Flexibility.

8           So, Heather, you can introduce this panel  
9 and its moderator, Haile Bucaneg from the CEC.

10           MS. RAITT: Great. Thanks. As you just  
11 said, so, Haile Bucaneg, you're the -- going to  
12 go ahead and moderate from the Energy Commission.  
13 Go ahead. Thanks.

14           MR. BUCANEG: Thank you, Heather, and  
15 thank you, Commissioner, and thank you to  
16 everyone for joining us on this panel. During  
17 this panel, we will be discussing some of the  
18 considerations needed while moving towards more  
19 widespread adoption of grid-interactive efficient  
20 buildings. We have a number of great speakers  
21 giving us their insights on this topic. And I  
22 want to give them as much time as possible, so  
23 we'll go ahead and jump right in.

24           First up we have Angela Amos, the  
25 Director of Market Development and Regulatory

1 Innovation at Uplight.

2 Angela?

3 MS. AMOS: Thank you. First, thank you,  
4 Commissioner McAllister, for your leadership on  
5 the IEPR. And also, of course, thanks to Vice  
6 Chair Gunda, Commissioners Shiroma and Houck, as  
7 well as the rest of the Commission and Staff at  
8 the Energy Commission and the CPUC for the  
9 opportunity to join today's workshop on grid-  
10 interactive efficient buildings and load  
11 flexibility. The issue is important and timely,  
12 not just for California which, as we know, is  
13 experiencing firsthand the dramatic effects of  
14 climate change, but also for everyone interested  
15 in creating a sustainable future.

16 Next slide, please.

17 As we heard, I'm Angela Amos, and my  
18 title at Uplight is Director of Market  
19 Development and Regulatory Innovation. I began  
20 my career in the energy industry over 16 years  
21 ago. And prior to joining Uplight, I've held  
22 roles at independent power producers, service  
23 providers, and at the Federal Energy Regulatory  
24 Commission, or FERC.

25 Next slide, please.

1           A bit about Uplight. Uplight is the  
2 technology partner for energy providers and the  
3 clean energy ecosystem. We're a certified B  
4 Corporation, which means that creating a  
5 sustainable future and using business as a force  
6 for good is a part of our mission and purpose.

7           Next slide, please.

8           As I implied, Uplight is the leading  
9 provider of end-to-end customer-centric  
10 technology solutions dedicated fully to serving  
11 the energy ecosystem. We help streamline the  
12 transition to this clean energy ecosystem for  
13 more than 90 electric and gas utilities.  
14 Specifically, Uplight provides several core  
15 solutions, including home energy reports,  
16 engagement portals for residential and  
17 nonresidential customers, energy alerts,  
18 marketplaces, and business intelligence tools to  
19 name a few. We also offer innovative new  
20 solutions through our Incubation Group of which  
21 I'm a part.

22           Next slide, please.

23           So let's get into the meat.

24           What we've learned in our partnerships  
25 and across our deployment is that customer

1 engagement and customer experience are essential  
2 to a program's success. As Commissioner  
3 McAllister just said, the process needs to be  
4 seamless for customers or else they may not adopt  
5 the technology.

6           As we know, California's climate targets  
7 are ambitious and include cutting statewide  
8 greenhouse gas emissions by 40 percent below 1990  
9 levels by 2030 and reaching 100 percent carbon-  
10 free electricity by 2045. Uplight and our  
11 partners see several steps of this process,  
12 including implementing efficient building  
13 standards, installing smart devices designed to  
14 be flexible and, again, fully empowering and  
15 engaging customers. On the ground, our  
16 experience is that actual end users want insight  
17 into their energy experience and value certainty,  
18 comfort, and control.

19           Next slide, please. Next slide. Oh,  
20 there you go. Thank you.

21           Now let's dive into a little bit about  
22 what Uplight has seen.

23           In a survey of 1,000 residential  
24 customers, as part of Uplight's primary research  
25 programs in partnership with the SEA Change

1 Institute, we found that personalization is  
2 correlated with higher satisfaction, engagement,  
3 and energy savings actions. As listed here,  
4 results show that personalization led to 28  
5 percent higher utility satisfaction ratings,  
6 increased the likelihood by 24 percent that  
7 customers would take action on tips received, and  
8 it made them more likely, 11 percent more likely,  
9 to utilize rebates.

10 An aside, Uplight also recently released  
11 an eBook addressing customer segmentation in the  
12 nonresidential space. And we find that  
13 customization is equally important there. For  
14 more information, and to download that document,  
15 you can visit Uplight's website or email me and I  
16 can send you the link.

17 Next slide, please.

18 So I wanted to spend most of my time  
19 today addressing several of the opportunities and  
20 challenges related to load flexibility and  
21 implementing distributed energy resources at  
22 scale. In my group's work on this issue, we tend  
23 to group these considerations into a few  
24 categories. First are the system or the market  
25 factors that have momentum and may be developing

1 on their own. Next are opportunities for  
2 regulatory and provider leadership.

3 Under the first category, we're seeing  
4 that energy providers are increasingly investing  
5 in technology and DERMS integrations are on the  
6 rise. We see that technology costs are  
7 declining, which makes demand-side resources ever  
8 more competitive when compared to other energy  
9 sources.

10 In terms of rate design, time-of-use  
11 plans are growing in popularity. And there are  
12 more opportunities for customers to adjust their  
13 usage and, by extension, their bills to take  
14 system conditions and cost into account. This is  
15 a great opportunity for customers and for the  
16 expansion of flexible load.

17 But we have some challenges, too, in part  
18 because the concept of flexible load is  
19 relatively new compared to the decades of focus  
20 on traditional supply. Regulators might need to  
21 consider incentives to encourage investment in  
22 the flexible load. Additionally, demand-side  
23 resources should be included in the planning  
24 processes.

25 Obviously, there's been interest in

1 energy efficiency and load management since the  
2 '80s but there's still room to scale.

3           FERC Order 2222, as well as federal  
4 action in Congress, has provided a catalyst for  
5 continued discussion around energy efficiency,  
6 demand-side resources and market participation,  
7 in addition to the state effort, but federal and  
8 state policies are not yet aligned. California,  
9 of course, has been a leader among states for  
10 many of these issues. But as many providers and  
11 technologies operate across regions, disparate  
12 market structures can still be a barrier to  
13 scaling.

14           Ensuring equity is also a challenge.  
15 Uplight believes that all customers should have  
16 access to technology and enjoy the financial  
17 benefits related to innovation. We've seen,  
18 though, that programs may need to target  
19 underserved customers specifically, and that  
20 regulators and providers shouldn't just assume  
21 that all customers have the same access or the  
22 same needs.

23           Of course, there are also consideration  
24 around customer data use and we must respect  
25 customer privacy, security, and confidentiality.

1 We must also treat customer data carefully.

2           In the provider leadership category, we  
3 see challenges and opportunities related to  
4 dispatch architecture. There is, rightfully,  
5 lots of effort to get smart and flexible devices  
6 installed in buildings. But once that happens,  
7 those devices need to be enabled, operated, and  
8 controlled in a way that maximizes system and  
9 customer benefits.

10           Modeling these flexible resources is also  
11 important. The grid operators, regulators, and  
12 others tasked with maintaining power balance and  
13 reliability are concerned about whether or not  
14 they can rely on flexible resources, then there  
15 could be significant resistance to scaling them.  
16 Improved modeling increases trust for planning  
17 and for operating. And of course, as I discussed  
18 earlier, a positive customer experience is  
19 essential and can lead to faster growth.

20           With my remaining time, I'll highlight a  
21 few specific recommendations related to the  
22 topics we've been discussing today.

23           First, industry stakeholders, including  
24 regulators and providers, should prioritize  
25 customer engagement and customer experience. As

1 has been discussed throughout this workshop  
2 today, there are several technical and  
3 operational considerations related to equipping  
4 and enabling grid-interactive buildings. But if  
5 end users aren't engaged, if customers feel as  
6 though they're being acted upon rather than  
7 partnered with, if customer experience is not  
8 considered from the beginning when programs are  
9 designed, then customers will opt out. They'll  
10 resist adopting the technology and the effort  
11 falls flat.

12           Sure, regulators can mandate directives  
13 for new bills. And California, as we know, as  
14 already done some of that. But Uplight's  
15 research shows, and our experience has  
16 reinforced, that demand-side approaches are far  
17 more expensive when customers actually want to  
18 participate on their own.

19           Second, we recommend increasing and,  
20 perhaps, formalizing opportunities for customer  
21 education. This could mean authorizing funding  
22 for tools that serve as programs, offers, and  
23 information to customers, particularly through  
24 technology and digital engagement.

25           Another cheaper solution, additional

1 solution, could be adding a module on the  
2 Commission's website, similar to or in addition  
3 to the Appliance Efficiency Program Outreach and  
4 Education page that highlights things, such as a  
5 customer bill of rights, or explains to customers  
6 how they can understand energy efficiency.

7           It is also important to specifically  
8 provide education and resources for low- to  
9 moderate-income customers, and to make sure that  
10 opportunities are available in the channels that  
11 are most relevant to those customers.

12           Big picture, if we think back to the  
13 headlines earlier this year related to demand  
14 response programs this summer, it was clear that  
15 just because a customer installed or enabled a  
16 smart thermostat didn't mean that they fully  
17 understood the terms and conditions of their  
18 participation. Earlier, Commissioner Shiroma  
19 highlighted the importance of taking the mystery  
20 out of this process of these programs. So at  
21 Uplight we're developing solutions that recognize  
22 that customers should be equipped with a full  
23 agency to participate in addressing climate  
24 change.

25           Which brings me to my last point. We

1 should reduce barriers to data transfer, updating  
2 accounts, customer enrollment, and program  
3 switching. We observe that there may be  
4 unintended consequences related to meter  
5 ownership structure that limit the tools  
6 available to providers to meet reliability needs.  
7 For example, a utility can't recruit a household  
8 for demand response if a third party has already  
9 claimed it. We also see that segmented  
10 enrollment in pilot programs may prevent  
11 customers from fully opting in.

12           A parallel example of this issue is that  
13 not too long ago, if you recall, in the telecom  
14 space some companies made it difficult for  
15 customers to keep their telephone number when  
16 changing providers. This barrier made the market  
17 less competitive because customers wouldn't want  
18 to switch and lose their number, even if a better  
19 rate or service was offered elsewhere. But SEC  
20 rules now require simple phone number porting  
21 under certain circumstances, making it easier for  
22 customers to get the best plans available.

23           There may be similar opportunities for  
24 the Commission, many, multiple Commissions, to  
25 reduce barriers for customers to participate in

1 the best programs and with the most appropriate  
2 devices for their needs.

3           As a neutral technology partner, Uplight  
4 is committed to helping providers and customers  
5 reach their goals and to help secure a  
6 sustainable future.

7           So thanks again for your time.

8           MR. BUCANEG: Thank you, Angela. Do you  
9 want to move to the next slide?

10          MS. AMOS: Sure. Thank you.

11          MR. BUCANEG: Thank you, Angela.

12          Next, we have Clay Nesler, the Global  
13 Lead for Building and Energy for World Resources  
14 Institute Law Center for Sustainable Cities.

15          Clay?

16          MR. NESLER: Thank you. And thank you to  
17 the Commissioners for inviting me to speak today.  
18 The earlier session this morning was, indeed,  
19 really, really informational, lots of great data,  
20 and inspiring. And it's my pleasure to present  
21 in this afternoon's set. I'm going to talk about  
22 how to scale up building flexibility, the topic  
23 of this workshop, through energy savings  
24 performance contracts.

25          A little bit about my background. After

1 four decades at a building technologies and  
2 energy services company, I've recently joined the  
3 World Resources Institute, leading up their  
4 global buildings practice. And I also sit on the  
5 GSA's Green Building Advisory Committee. The  
6 Green Building Advisory Committee, in two years,  
7 focused on GEBS and focused on demand flexibility  
8 and how to increase adoption in the federal  
9 government. Yes, PCs are a primary procurement  
10 method for investing in energy efficiency and,  
11 increasingly, in distributed energy resources,  
12 microgrids, and other resilience measures.

13           Performance contracting goes back to  
14 1985, actually, in the state of Ohio where  
15 schools realized that by upgrading their lighting  
16 and implementing building controls and updating  
17 HVAC equipment, they could significantly reduce  
18 their energy use and their costs. However, they  
19 were precluded from entering into long-term  
20 contracts.

21           So performance contracting was invented  
22 as a vehicle to allow public entities, typically  
23 what we call the MUSH market, municipalities,  
24 universities, schools, and healthcare facilities,  
25 as well as the federal government, to basically

1 enter into a long-term contract to make  
2 infrastructure improvements that are paid over  
3 time through energy and operational savings. A  
4 prime contractor makes the improvements, installs  
5 the equipment, commissions it, measures and  
6 verifies the performance, and then guarantees it  
7 over the course of the contract. They also  
8 provide services to maintain and assure that the  
9 savings are achieved over the term.

10           The average term of one of these  
11 contracts in the United States is 13 years. The  
12 U.S. Federal Government can extend that contract  
13 to 25 years. The benefit of it to public  
14 institutions is they don't very often get a  
15 chance to completely update and modernize their  
16 infrastructure. A performance contract allows  
17 them to do that. But we identified a number of  
18 barriers and opportunities to using this  
19 procurement vehicle.

20           By the way, the performance contracting  
21 market is about \$7 billion a year in the U.S.  
22 It's about equivalent to the utility investment  
23 in energy efficiency. California's share of that  
24 is somewhere between \$400 million and \$450  
25 million a year. And we believe that the total

1 market opportunity is between \$100 billion and  
2 \$300 billion which would flex a lot of demand.

3 Next slide.

4 So the Green Building Advisory Committee  
5 findings were that demand reductions can  
6 generally be included in ESPC or the utility  
7 energy service contracts and counted toward the  
8 energy savings goals. That's the good news  
9 because a lot of a bill is, in fact, due to  
10 demand charges, and that's just energy use. But  
11 the cost savings due to the adoption of time of  
12 use or real-time pricing can be included in the  
13 savings guarantees but the business case changes  
14 over time. As those rates are adjusted and vary  
15 over time, that adds uncertainty in the process.

16 Guaranteeing energy and economic  
17 performance over an extended period of time  
18 requires a bit of certainty. So guaranteed  
19 energy demand reductions are generally factored  
20 by up to 50 percent. Engineers analyze, using  
21 simulations and other tools, and come up with  
22 their best estimate. And then they reduce the  
23 estimate by 50 percent in order to minimize risk.  
24 The problem with reducing the estimated savings  
25 is those savings are what pays for

1 infrastructure. You can invest in more solar,  
2 more energy efficiency, heat pumps to electrify  
3 heating in buildings, if we can really maximize  
4 the investment.

5           Next slide, please.

6           The expertise required to analyze  
7 buildings or groups of buildings for demand  
8 reduction is different and more complex than just  
9 estimating energy savings. Looking a lightbulb,  
10 knowing that it uses 60 watts and you're going to  
11 replace it with an LED lightbulb that uses 16  
12 watts, is pretty easy math.

13           Estimating something that changes over  
14 time is much, much more complex. There are very  
15 few engineers that are actually experienced at  
16 this. A lot of them work for the larger ESCOs  
17 because these ESCO projects are more complex.  
18 They're bundled. They include envelope  
19 improvements. They include heating and air  
20 conditioning. They include more heating and air  
21 conditioning. They include more sophisticated  
22 controls. They include distributed energy  
23 resources, EV charging. Those are the types of  
24 companies that can really completely engineer at  
25 a system's level.

1           The energy demand reduction savings are,  
2 generally, only guaranteed for a few years,  
3 again, not knowing what's going to happen to a  
4 demand response program, not knowing if a special  
5 tariff is part of a pilot program, not knowing  
6 where anything could change. So, typically, the  
7 results are guaranteed for three years, again,  
8 minimizing the potential positive impact that  
9 that cash flow could provide in investments. But  
10 the ESCOs, they track and report the savings  
11 every year. Yeah, part of it is showing off.  
12 But even more important, that's a buffer for  
13 shortfalls in other areas. And one of the ideas  
14 that came up was to use those additional savings  
15 to make additional infrastructure investments  
16 over time.

17           Next slide, please.

18           Demand response programs that provide a  
19 fixed monthly payment, like part of a capacity  
20 program, for a commitment to shed a certain  
21 amount are the easiest to incorporate into these  
22 ESPCs because, essentially, the cash flow is  
23 constant, and the level of automation that is  
24 included in these projects really assures that  
25 those reductions will be made. They are highly

1 automated and monitored.

2           Hourly solar PV generation and energy use  
3 data is very helpful in also minimizing risk and  
4 estimating what the time-based reduction capacity  
5 is. Data is so important in every aspect of  
6 this, from designing new projects to actually  
7 implementing the strategies, and then being able  
8 to be compensated for them.

9           And finally, energy demand reduction from  
10 energy storage, both thermal, such as the UC  
11 Merced Case Study that Mary Ann Piette mentioned  
12 earlier, both hot water/cold water at like  
13 Stanford Universities new Central Energy  
14 Facility, and combined heat and power plants are  
15 also included in ESP business cases.

16           Next slide.

17           So we made a couple recommendations to  
18 FEM (phonetic) and to the U.S. Federal Government  
19 that we thought could increase investment and  
20 adoption of GEBs technologies in these types of  
21 projects. One is that ESPC projects actually  
22 don't guarantee the cost, per se. The price of  
23 the energy consumption is stipulated, in other  
24 words, it's a contract value. And there's an  
25 annual escalation factor determined by NIST

1 which is their best estimate of what is going to  
2 happen with prices. It is one thing for  
3 engineers to estimate the energy savings over a  
4 long period of time. It's another thing to guess  
5 tariffs and rates and prices and things such as  
6 that.

7           Something similar, on demand flexibility  
8 and demand management, would be very, very  
9 helpful in growing the market. And, also,  
10 special tariffs that were fixed over a longer  
11 period of time or, in fact, just had a maximum  
12 change from year to year would also help drive  
13 this.

14           What I'd like to do now is share a couple  
15 case studies to show you what the impact of  
16 projects like this can be. First, we're going to  
17 go to the Hawaiian Islands.

18           Next slide.

19           This is Maui College. Maui College is  
20 one of the seven higher education institutes in  
21 the Hawaiian Islands. And it's the first campus  
22 in the United States to be 100 percent renewable  
23 zero-carbon campus. The university system there  
24 made a commitment to be 100 percent renewable as  
25 part of their state's commitment to decarbonize

1 well before the 2050 most states are talking  
2 about.

3           It followed the classic GEBs play book.  
4 First, there was a 45 percent reduction in energy  
5 efficiency for HVAC, controls, lighting. Then  
6 2.8 megawatts of PV was installed on roofs,  
7 parking canopies, and other things. Then they  
8 added 13.2 megawatt hours of storage and  
9 configured it as a microgrid. That's a lot of  
10 storage. But there's no net metering in Hawaii,  
11 so you either use it or you lose it from an  
12 economic standpoint. It was implemented as an  
13 ESPC with a PPA. And no tax dollars and no  
14 ratepayer dollars were used in the \$79 million  
15 investment.

16           The next slide is about Georgia Tech.  
17 I'll bet you were expecting a photograph of the  
18 football stadium. No, this is my favorite part  
19 of Georgia Tech. This is the Central Heating and  
20 Cooling Plant. Their 39 buildings are networked  
21 together as part of the control system that  
22 controls 8,000 pieces of equipment, turning them  
23 on or turning them down based on the real-time  
24 price of electricity. Twenty-eight more  
25 buildings are being added. The demand flexibility

1 at that campus reduces 1,000 tons of cooling,  
2 think of that as a megawatt, and 500 tons in  
3 another cooling plant.

4           Curtailement is done when the price  
5 exceeds ten cents a kilowatt hour, which is about  
6 30 to 40 days in the summer. The price hit \$1.00  
7 per kilowatt hour a while back in August. The  
8 reductions are significant and they last about  
9 four hours. So that is like turning a campus  
10 into a huge battery.

11           My last case study is Kent State  
12 University. This is a system that uses software  
13 very similar to what Mary Ann Piette talked about  
14 at UC Merced, model-predictive control, 90  
15 buildings there, 7 central plants, 3 thermal  
16 district loops in CHP. A thousand sensors and  
17 datapoints go into the control system that  
18 include schedules, rates, demand response  
19 signals. One hundred and fifty control decisions  
20 are made every 15 minutes and seven days ahead,  
21 very sophisticated, \$1 million in energy cost  
22 savings, and significant demand flexibility  
23 benefits to PJM.

24           My last slide. What we hear from  
25 organizations that are involved in energy savings

1 performance contracts in California are basically  
2 agreeing with the kind of observations and  
3 recommendations that the Green Building Advisory  
4 Council [sic] made but identified a few other  
5 points.

6           Permitting for ESPC and PPA projects with  
7 distributed energy resources, energy storage, and  
8 microgrids can be pretty complex. I'm sure the  
9 Commissioners haven't heard that for the first  
10 time during this workshop.

11           Building controls that are integrated  
12 with behind-the-meter DER, there are challenges  
13 in connecting to the grid and challenging -- or  
14 in challenges connecting to aggregators and other  
15 service providers. I think the MIDAS program we  
16 heard about earlier is really exciting. That  
17 could go a long way towards driving some of these  
18 more complex applications and providing the data  
19 really needed to make these applications  
20 practical.

21           And then, finally, frequent changes in  
22 either the demand response programs, solar net-  
23 metering policies, tariffs, things like that, I  
24 know they're inevitable. But to the extent we  
25 could minimize those changes, this is a business

1 model that can help finance the improvements that  
2 we need.

3           There was a lot of discussion this  
4 morning about where are we going to find the  
5 money? What are the business models? This is at  
6 least one of a number of ways that we can really  
7 drive adoption and investment in demand  
8 flexibility.

9           Thank you very much for allowing me to  
10 speak and address this workshop today.

11           MR. BUCANEG: Thank you, Clay.

12           So now we will have Rois Langner, who is  
13 a Senior Research Engineer with the National  
14 Renewable Energy Laboratory. She will be  
15 providing a brief introduction for Margot  
16 Everett, the Director for Energy Sustainability  
17 and Infrastructure at Guidehouse.

18           Rois?

19           MS. LANGNER: Great. Thank you so much  
20 and hi everyone. We really appreciate the  
21 opportunity to speak to you today during this  
22 workshop. As we just mentioned, I want to  
23 briefly introduce the next speaker and topic to  
24 bring a little more context to the report that we  
25 will be highlighting.

1           Again, I'm Rois Langner. I'm a Senior  
2 Research Engineer at NREL. I'm an architectural  
3 engineer by training. I also lead the Department  
4 of Energy's Better Buildings Alliance Renewables  
5 Integration Team that works to bring resources to  
6 building owners and facility managers on topics  
7 related to the strategic integration of  
8 renewables. But we're really shifted to focus  
9 more on GEBS, building load flexibility, and grid  
10 coordination.

11           So this work, funded by DOE, NREL worked  
12 with Guidehouse to better understand what utility  
13 incentive mechanisms are available that could  
14 really drive the adoption of grid-interactive  
15 efficient building practices in operation.

16           Margot Everett was a lead author on our  
17 new report that was published earlier this year,  
18 Incentive Mechanisms for Leveraging Demand  
19 Flexibility as a Grid Asset. And Margot comes  
20 from a wide breadth of expertise in this area.  
21 She works as a Director at Guidehouse's energy  
22 practice, providing strategic and analytic  
23 regulatory consulting services to investor- and  
24 publicly-owned utilities, market participants,  
25 and regulators in electricity and gas. Margot

1 has nearly 35 years of experience in the energy  
2 and utilities sector, leading rate to regulatory  
3 analytics, risk management, and wholesale  
4 contract structuring organization.

5 So we're really excited to share the  
6 outcomes of this report with you. And with that,  
7 just a quick introduction from me, and I'll hand  
8 it over to Margot.

9 MS. EVERETT: Thank you, Rois.

10 It's a pleasure to be here. Good  
11 afternoon, Commissioners.

12 Next slide, please.

13 So there is a fairly lengthy report that  
14 is available on the DOE website. And we're just  
15 going to be touching on some highlights of that  
16 paper. The first is we want to talk a little bit  
17 about the overall ecosystem and the stakeholders  
18 that are involved, most of who -- a lot of you  
19 are on the phone here today.

20 So, first, the regulators policy leaders  
21 that are helping shape the future of our electric  
22 grid and helping to decarbonize the utility  
23 sector. There's grid operators, ISOs, RTOs,  
24 balancing authorities. There's, of course,  
25 utilities and energy providers, so energy

1 suppliers and distribution utilities. An  
2 emerging group of folks that are becoming more  
3 and more involved in the marketplace are  
4 aggregators. These are entities that bring  
5 together customers and work with them  
6 collectively. Of course, there's customers.

7           And I want to comment on this a little  
8 bit because I've been listening to the  
9 presentation, and I've been in this industry, as  
10 Rois said, for about thirty-five years, and it's  
11 really nice to hear people use the term customers  
12 versus ratepayers. Maybe someday we'll be  
13 talking about pricing rather than rates because I  
14 think that this is where we have to be thinking  
15 our mindset has to be going forward. Customers  
16 are key.

17           And then, of course, there's the third-  
18 party contractors. Those folks that are both  
19 installing the equipment, helping customers make  
20 these investments, and then helping them operate  
21 those investments efficiently, all these  
22 stakeholders need to be considered as utilities,  
23 policymakers, and others start thinking about  
24 incentive structures for GEB buildings.

25           Moving on to the next slide, so the DOE

1 defines GEB demand-side management strategies  
2 among five different strategies. We graphically  
3 show four.

4           There's the first, which is energy  
5 efficiency, let's just reduce our overall energy  
6 use.

7           Load shedding, we're going to cut the  
8 peak off and use this energy during critically  
9 high-load periods. We're going to move that load  
10 from high periods to load periods and get better  
11 utilization, a flatter curve, over the course of  
12 the day.

13           And then there's just modulating, which  
14 is the ability to balance power supply and  
15 reactive power.

16           Lastly, there's the ability to generate.  
17 This is, basically, customers are able, more and  
18 more able to self-generate and self-supply.

19           So all of these characteristics and  
20 capabilities are seen in a GEB program.

21           Next slide, please.

22           So when we start thinking about GEB  
23 buildings and the types of incentive structures  
24 that can be put in place for them, we really  
25 think about in the context of demand response.

1 And there's a tax on three of those.

2           The first we really divided into  
3 dispatchable versus non dispatchable. So when we  
4 think about non dispatchable, it's that -- it the  
5 fact that a customer is changing their load  
6 shape, modifying their load shape over time. And  
7 it's usually in response to direct price signals,  
8 in other words, utility rates. Examples of these  
9 are volumetric rates, time of use, and some other  
10 emerging rate designs.

11           We also, then, have dispatchable. And  
12 these are DRs where the customer is actually  
13 changing their load shapes that the grid sees, or  
14 even contributing to supply to the grid, and it's  
15 based off -- it's market-informed, meaning it's  
16 based off of what the marketplace needs, what the  
17 grid needs at that moment. And it tends to be  
18 incentive based. In other words, you can have  
19 sort of your traditional utility programs that  
20 we've seen for many, many years around DSM and  
21 demand response, things like load controls. One  
22 of my first jobs was evaluating the implications  
23 of an air conditioner shedding program, so those  
24 types of programs.

25           And then there's the RTOs which is kind

1 of the integration with actual wholesale market.  
2 You heard Maryam talk a little bit about this as  
3 one of the things that they've been emphasizing  
4 at the Commission. And this is in order to be  
5 able to provide the marketplace with alternative  
6 sources of critical grid needs, such as capacity,  
7 ancillary services, and even energy, and having  
8 that come from not just utilities but, also,  
9 customers.

10           Next slide, please.

11           So when we talk about utility rates or  
12 price-based demand response, we really can think  
13 about traditional versus alternative. And so the  
14 traditional rates are things that we commonly  
15 hear about which are volumetric charges and  
16 demand charges. And I want to caveat this  
17 because demand charges are a form of volumetric  
18 charge. But we typically use the word  
19 volumetric, the term volumetric charge, to refer  
20 to a per-kilowatt-hour charge.

21           And then there's demand charges. And if  
22 you were to look at traditional rate designs  
23 throughout the state of California, or even  
24 across the globe, you will mostly see the  
25 preponderance of rate designs will be on a per-

1 kilowatt-hour basis. We, in California, are  
2 migrating to time-based volumetric rates for all  
3 customers as a default. But there still are many  
4 utilities out there that still embrace flat  
5 volumetric rates, meaning I pay X cents a  
6 kilowatt hour no matter when I use it.

7           On demand charges, you can have demand  
8 charges related to coincident peak, which is the  
9 peak when the system is peaking, versus non-  
10 coincident peak which is when the customer peaks.  
11 There are different types of demand charges that  
12 you might implement, depending upon the cost that  
13 you're trying to recover. So demand charges are  
14 usually linked directly to whether or not the  
15 demand charge -- the demand cost is driven by  
16 system peak versus demand cost that's driven by  
17 the individual customer's peak.

18           This is very traditional. I'm probably  
19 giving you all a chance to take a nap and catch a  
20 cup of coffee because this all should be very  
21 common for you.

22           Moving to alternative rates, though, we  
23 start to see two emerging structures happening.  
24 And what's really interesting is they're kind of  
25 at opposite ends of the spectrum.

1           So you have dynamic rates which, again,  
2 are still per-kWh charge but they are very --  
3 they vary. And they are meant to send customers  
4 signal, like day-ahead or week-ahead. These  
5 pricing schemes, typically, are based off of  
6 either real-time pricing where you're actually  
7 sending a price signal to the customer that the  
8 market is sending out, or they can be event based  
9 which means it says, oh, today is going to be a  
10 particularly hot and high-load day, so we're  
11 going to try to incent customers to conserve.  
12 We're going to increase their rates by a certain  
13 predesignated amount. Critical peak pricing is a  
14 good example of that.

15           On the opposite side of the spectrum are  
16 subscription rates. These are per-monthly  
17 charges where the customer sees a flat bill for  
18 the month but the incentive structure is  
19 different. So you can have the customers  
20 subscribe to a certain level of service and they  
21 try to manage their load to that certain level of  
22 service, typically demand level. So what this  
23 does it is empowers the customer to choose what  
24 their energy consumption targets will be and then  
25 they will manage to that as best as they can,

1 much like you would do with, say, a data plan on  
2 your phone bill.

3           Similarly, though, there's technology  
4 subscriptions which are another interesting  
5 avenue where you're actually using pricing to  
6 incent customers to make energy-efficient  
7 investments. And the customer reaps the benefit  
8 by having a flat bill, a non-volatile bill, but  
9 you still end up with the energy efficiency  
10 capabilities that you would get with some of the  
11 other pricing options.

12           Next slide, please.

13           So how do these line up with GEB  
14 buildings? And we kind of list all these rate  
15 options. You can see at the bottom, not aligned,  
16 basically, means was not at all helpful to a GEB  
17 building or to the grid, for that matter, are  
18 these flat volumetric rates. If a customer is  
19 not incented to change their behavior by moving  
20 electricity or reducing -- and maybe only just  
21 reducing electricity, you really lose all the  
22 capabilities that a GEB building brings to the  
23 grid.

24           At the top of the list is real-time. So  
25 here you're basically saying I'm going to give

1 you a price signal a day ahead and you can make  
2 that signal clear to the customer and they can  
3 change things within the building, even just for  
4 a day or two, to save money and also help with  
5 the grid.

6           Moving on to the next slide, I want to  
7 talk about some of the barriers to rate design  
8 and grid enablers. We talked about this already  
9 a little bit, simple and clear. Muddled market  
10 signals are part of the problem we have. It's  
11 just a lack of transparency and clarity on rate  
12 designs. There's disconnects between rate design  
13 and markets.

14           Also, we talked through -- I think you  
15 all talked this morning about state regulations.  
16 We need to make sure that you're creating the  
17 right incentive structures for utilities to, one,  
18 to enable some of these incentive structures and  
19 still be able to continue to be a going interest.

20           And then inconsistency. We see this a  
21 lot across and this is a lot across, and this is  
22 a theme across all things, where customers in  
23 different jurisdictions that may have similar  
24 operations but then they're facing all this  
25 variety. And moving towards more standardization

1 could be helpful.

2           The next slide describes a framework for  
3 talking about this which -- can you go to the  
4 next slide, please? -- which is the modern rate  
5 architecture. The idea very simply here is that  
6 you start thinking about pricing as a tool for  
7 incenting customer behavior and achieving certain  
8 goals. It's not a strategy itself, it's a tool  
9 for achieving strategy. To be able to do it, you  
10 need to understand what your products are? Well,  
11 what are you actually creating for your customer  
12 and delivering to them? What is the cost of  
13 that? What's the cost allocation? What is it  
14 costing the utilities or the service providers to  
15 put that in place?

16           Customer segmentation. We as an industry  
17 think about customers by who they are,  
18 residential, commercial, industrial, as opposed  
19 to how they use the products. They're just a  
20 straight consumer. They put electricity onto the  
21 grid and they take electricity off the grid.  
22 They are actively involved in their energy  
23 management. They're not involved. They utilize  
24 certain technologies. We need to start thinking  
25 about customer segmentation differently.

1           And then you go into pricing design,  
2 pricing design specifically addressing what your  
3 customer segmentation, cost allocation, and  
4 products are.

5           And then the last piece is incentive  
6 design. We should be explicitly talking about  
7 incentive design, not embedding incentives into  
8 pricing but rather having it layered on, things  
9 like discounts, incentives, things that are  
10 transparent to the customers but also allow for  
11 changing of incentive structures over time that  
12 allow building, like GEB buildings, to be able to  
13 advance adoption but not create perpetual  
14 subsidies.

15           Moving on to the next slide, we have  
16 programs, utility-operated programs. This is  
17 really the conventional programs. They're  
18 performance-based, participation-based, and  
19 voluntary-based.

20           Next slide, please.

21           Performance-based basically means that  
22 the customer gets an incentive based off of what  
23 they did. Participation-based means they get an  
24 incentive for participating in the program and  
25 you may or may not get the savings that you're

1 anticipating. And then voluntary behavior is,  
2 really, you're trying to communicate to customers  
3 to change their behavior but you may or may not  
4 get that behavior change. A good example of that  
5 are the notices that you send out in California  
6 when you're having a critical heat day. You're  
7 just asking customers to please reduce  
8 electricity.

9           Next slide, please.

10           How do these line up with GEB? Barriers,  
11 I'm going to skip this slide because they're  
12 similar to the other ones and I only have a  
13 couple minutes left. So, oh, there was a slide  
14 missed in there. I thought there was one on  
15 prioritization relative to GEB. I'll move on.

16           So the last one are these market  
17 integrated options. So, basically, GEB buildings  
18 have the ability to provide three types of  
19 products back to the grid, capacity, ancillary  
20 services, and energy markets.

21           So capacity, emergency services, it's  
22 like I'm giving -- I'm either going to turn my  
23 load down and not put load on the grid, or I'm  
24 actually going to dispatch a battery for the  
25 benefit of the grid.

1 Ancillary services are really being able  
2 to provide faster response to some of the needs  
3 of the grid, such as some reserves. Again,  
4 buildings can provide some types of reserves.

5 And then, lastly, energy markets which  
6 are the, basically, the real-time and day-ahead  
7 per-kilowatt energy costs.

8 Next slide, please.

9 So alignment with GEB here, you can see  
10 capacity and emergency services are the most  
11 aligned, and energy markets the least. This is  
12 because GEB buildings have that ability to act  
13 like an asset to the grid, not just an energy  
14 supply to the grid. And so that's very  
15 important, that creating some incentive  
16 structures that recognize that capability of a  
17 GEB over other types of technologies, because  
18 it's sort of a collective group of technologies  
19 and actively managed.

20 Next slide, please.

21 Again, the barriers, and this is not so  
22 much true for California but as a nation, we need  
23 to start getting better at creating consistent  
24 market structures and creating that inertia to  
25 get utilities to support these types of buildings

1 by addressing some of the barriers that they see,  
2 which are things like, for instance, the business  
3 model. How do you get to a balanced place where  
4 utilities, third-party providers, and so on are  
5 all collectively working together to decarbonize  
6 and meet customer needs?

7 Next slide.

8 When we look across the stakeholders that  
9 we talked about earlier we can see where we get  
10 the greatest amount of goal alignment, if you  
11 will, on the types of incentive mechanisms is  
12 predictability. We get the most alignment there.  
13 But what's interesting, when you look at this  
14 chart, it's either you're on the left or you're  
15 on the right. And it's sort of due to the  
16 continued pressure we have as an industry between  
17 what the grid needs, what the utility needs,  
18 versus what customers need. And so this is a  
19 continued -- we need to continue to be thinking  
20 about how do we get alignment across all of  
21 these? And how do we create programs and  
22 incentives that leverage and help all  
23 stakeholders achieve their goals?

24 Next slide, please.

25 Expanded use, again, I've talked about

1 some of these. We can use really creating  
2 consistency across the programs. I dare say that  
3 you don't want to necessarily have the same rate  
4 design across all utilities within a state but,  
5 at least, some consistency in the approach. I  
6 think the CPUC does a really good job at trying  
7 to achieve that but it still can get disjointed.  
8 And really kind of embracing the idea of the  
9 modern rate design concepts that we have out  
10 there. And then, you know, let's not  
11 underestimate the benefits of things like  
12 standardized treatments and regulatory changes  
13 and standardization policies.

14 So with that, I will hand it back to you,  
15 Haile.

16 MR. BUCANEG: Thank you, Margot, and  
17 thank you, Rois. That was a lot of information.  
18 And as you guys know, the slides will be  
19 available, so Margot, actually, went through  
20 those quite quickly, but those can be referenced.

21 Next, we have Liz Reichart, who is a  
22 Senior Energy Policy Specialist with Washington  
23 State Department of Commerce.

24 Liz?

25 MS. REICHART: Great. Thank you so much.

1 And thank you to all the Commissioners and Staff  
2 for the opportunity to join this workshop and  
3 share a little bit about what we're up to up  
4 north.

5 My name is Liz Reichart. I'm the Energy  
6 Efficiency Lead at Washington State Department of  
7 Commerce in the Energy Policy Office. I'm going  
8 to take the next ten minutes or so to give you a  
9 very brief overview of where the State of  
10 Washington is at on thinking about flexibility,  
11 particularly around grid-efficient/grid-  
12 interactive buildings.

13 The state's journey on this path to  
14 thinking about buildings is grid assets and where  
15 we're headed next as we think about scaling these  
16 GEB efforts.

17 Next slide.

18 So at the Washington State Department of  
19 Commerce, we administer around 100 programs  
20 ranging from housing and rental assistance  
21 programs to some of the more energy-focused work  
22 in the State Energy Office where I work. And  
23 Commerce has such a broad purview over so many  
24 crosscutting areas, which is really exciting for  
25 energy work, energy being something that

1 intersects with everything.

2           Next slide.

3           So before we talk about buildings, I want  
4 to talk a little bit about a first-in-nation law  
5 we passed in 2019. HB 1444 was a bill that  
6 included appliances rules for 17 different  
7 products, including a design requirement for  
8 electric-storage water heaters. And it requires  
9 CTA-2045, this communication port or an  
10 equivalent technology. And I'm sure most of you  
11 are familiar with this bill and with CTA-2045.  
12 It's a standard communications protocol that  
13 appliance makers can include on their products to  
14 enable them to be grid interactive and shift  
15 electric usage, like that which typically occurs  
16 with battery storage.

17           Typically, we like to be a fast follower  
18 and do a lot of our standards adopted by  
19 reference to ENERGY STAR or California. However,  
20 Washington chose to lead on this issue for a  
21 number of reasons, many of which have to do with  
22 modernizing our grid and investing in the value  
23 that flexibility provides.

24           There was the technical and behavioral  
25 data that we received. There were a number of

1 important pilots that provided critical pieces of  
2 the puzzle in giving us the data that we needed  
3 to move forward with CTA-2045.

4           When we think about regulatory barriers  
5 around emerging technologies related to demand  
6 response and storage, having pilot data really  
7 makes an impact. And we even spoke to this  
8 impact in a CEC docket on load management.

9           And, of course, grid-interactive water  
10 heaters were bolstered by this broader trajectory  
11 of energy and clean buildings legislation passed  
12 in the last couple years in Washington. 2019 and  
13 2020 were banner years for clean energy in  
14 Washington with the Building Performance  
15 Standard, the Clean Energy Transformation Act,  
16 the HEAL Act, and the Climate Commitment Act  
17 which includes cap and invest and many more.

18           There's a 100 percent Clean Energy  
19 Standard in CETA. But there's also a lot more  
20 thinking to be done on what a statewide demand  
21 response target looks like too. But this kind of  
22 water heater technology supports this broader  
23 policy vision.

24           Next slide, please.

25           I wanted to give you the background of

1 our work on water heaters as a building block to  
2 this grid -- to these grid-interactive buildings  
3 arc that we, as a state, have been on. But there  
4 were also other components working simultaneously  
5 on this arc. And the journey of getting to  
6 flexibility was fed through standalone storage,  
7 then incorporating storage with other renewable  
8 energy assets, to then thinking about a building  
9 as one of those assets.

10 I offer some questions that we have been  
11 asking through our pilots and studies of the  
12 region. How to site storage? Where do we put  
13 it? What does the grid need? And when? How to  
14 right-size storage and how to value the full  
15 value stream of storage, not just the value of  
16 storing clean electrons but, also, as a voltage  
17 regulator and as a source of flexible capacity?  
18 And then, how do you upgrade to a large battery  
19 that can now be represented by the building which  
20 can then contribute to flexible capacity?

21 The other side from which we're coming at  
22 it is what's in the building? We've been  
23 thinking about going beyond water heaters to  
24 demand responsive appliances, but watching  
25 closely what California is doing on expanding the

1 scope of what flexible appliances can add, and  
2 asking, how is a building both a whole-grid asset  
3 but, also, how do the things within that building  
4 allow it more flexibility as well?

5           If you could have a toolbelt encompassing  
6 the entire capacity of a building down to the  
7 distributed potential of the many small  
8 appliances, when you have a lot of options on the  
9 table from residential to commercial, that  
10 building capacity availability becomes more  
11 tunable.

12           Then from there, it's also about  
13 wholistic planning to make sure we're thinking  
14 about electrification, but also we're thinking  
15 about efficiency as the foundation for GEBs and  
16 grid-interactive buildings. It's important to  
17 highlight, also, the equity pieces that are  
18 interconnected with our efforts to update  
19 standards. Standards help ensure that it's not  
20 just wealthy folks getting all these flexible  
21 appliances, particularly as the state expands at  
22 such a high rate.

23           There's a joke I like, that the city bird  
24 of Seattle is the crane because there's so much  
25 construction. We're expanding so rapidly as a

1 state.

2           So standards ensure that as we build  
3 everywhere in the state, we also ensure the  
4 possibility of using these things in a demand-  
5 responsive way.

6           Some additional fuel to the flexible  
7 future of the region, we've gotten really good at  
8 the energy efficiency part. Even as Seattle has  
9 grown in size, load growth has stayed pretty flat  
10 for Seattle City Light. As things get more  
11 efficient we'll need to aggregate more of them  
12 together to represent a meaningful load. But  
13 buildings themselves, particularly larger  
14 buildings, we recognize will already have that  
15 potential.

16           Building envelopes the footprint of  
17 buildings are getting better and better in terms  
18 of energy efficiency. But now there's an  
19 opportunity to add, you know, another layer to  
20 what they can do.

21           Next slide, please.

22           So now we've got an idea of what our  
23 buildings need to be efficient, connected, smart  
24 and flexible. Where do we go from here?

25           We want to decrease barriers to GEB

1 pilots in the state. We recently worked with  
2 Pacific Northwest National Lab on technical  
3 assistance to identify barriers in a region to  
4 GEB pilots. The Washington Clean Energy Fund has  
5 an Energy Grid Modernization Program that, to  
6 date, has awarded about \$39 million in grants to  
7 utility companies. And beginning in the 2021-  
8 2023 Capital Budget, we have \$10 million  
9 appropriated solely for the purpose of building  
10 electrification projects that demonstrate grid-  
11 enabled high-efficiency all-electric buildings.

12           One of the best examples of a pilot that  
13 has benefitted from Commerce funding is the  
14 Spokane Catalyst Building. This building was a  
15 joint collaboration between Avista, McKinstry,  
16 Kattera, and Eastern Washington University. And  
17 it allows for granular load control. The  
18 exciting part is that these buildings that are  
19 part of the campus have the potential to support  
20 their own transactive energy systems but can also  
21 interact with a microgrid, for instance, on a  
22 campus grid and with other buildings, to create a  
23 lot of flexibility and, thus, integrate  
24 renewables more effectively.

25           We're hoping the Catalyst Building and

1 projects like it will provide insights into how  
2 we integrate DER into some of these flexible GEB  
3 projects and allow us to explore the pros and  
4 cons of integrated DERs at individual buildings  
5 versus larger-scale DERs.

6           The next step, once we get data from  
7 state pilots, is going to be considering policies  
8 that align incentives to scale GEB and grid  
9 flexibility more generally.

10           Next slide.

11           So a lot to look forward to as we see  
12 what our utilities need, what our building owners  
13 need in order to bring more flexibility to the  
14 grid, in addition to looking at what others are  
15 doing and learn more about what we need to fund  
16 and implement the future of flexibility.

17           And I will leave it there. Thanks for  
18 your time.

19           MR. BUCANEG: Thank you, Liz.

20           Finally, we have Tamara Dzubay, a Senior  
21 Manager for Regulatory Affairs and Emerging  
22 Markets at ecobee.

23           Tamara?

24           MS. DZUBAY: Thank you so much. I'm  
25 really looking forward to walking everybody

1 through some really interesting insights that  
2 ecobee has learned over the past two years,  
3 specifically as it relates to this topic of  
4 what's needed to scale grid-interactive efficient  
5 buildings.

6           Ecobee was founded in 2007 and, actually,  
7 developed the first wi-fi connected smart  
8 thermostat. Today, ecobee is a leading developer  
9 of smart thermostat technology with devices being  
10 used in over 90 utility programs across North  
11 America.

12           Most recently, in 2020, ecobee introduced  
13 a free thermostat optimization platform to all of  
14 its customers through a software upgrade that  
15 offered integrated demand-side management through  
16 personalized energy efficiency, time of use, and  
17 demand response optimization. And so we have  
18 gathered a lot of information because of that  
19 experience on what are some of the existing  
20 barriers that exist to really scale what we are  
21 trying to offer all of ecobee customers at scale.

22           Next slide, please.

23           Scaling grid-interactive efficient  
24 buildings will require the right policy  
25 frameworks to enable market mechanisms that fully

1 leverage existing and future technological  
2 capabilities.

3           Next slide, please.

4           So what are some of the existing  
5 barriers? Through rolling out an integrated  
6 demand-side management platform that offers  
7 energy efficiency, time of use, and demand  
8 response optimization, we've learned that some of  
9 the barriers include siloed policies which then  
10 create siloed utility programs, which are then  
11 evaluated on cost effectiveness in a way that  
12 does not wholistically value resources.

13           We see this right now in California where  
14 smart thermostats are not currently part of  
15 energy efficiency programs, yet there are many  
16 devices in customer homes today that are  
17 receiving optimization around the rate schedule,  
18 as well as additional energy efficiency  
19 optimization that has recently been rolled out  
20 from leading manufacturers that are not being  
21 accounted for in a way that is wholistically  
22 valuing their contributions to the grid.

23           And this leads to another barrier which  
24 is a lack of aligned incentives between  
25 utilities, technology providers, and customers to

1 minimize costs and emissions across the country.  
2 As we've seen through some of the program silos,  
3 right now programs across the country are looking  
4 at energy efficiency as total energy reduction,  
5 and demand response as peak demand reduction.  
6 And so what happens when you're trying to create  
7 daily optimization through really flexible load  
8 is that doesn't fit in either of those program  
9 silos because actual GHG emissions are not being  
10 accounted for in cost-effectiveness tests.

11           And I think what's challenging is that,  
12 for technology providers, it's really difficult  
13 to create state-specific solutions. And so  
14 having alignment around these incentives between  
15 utilities, technology providers, and customers to  
16 minimize cost and emissions across the country is  
17 really needed to provide that scale. And from  
18 the utilities' perspective, having the incentive  
19 to invest in these resources in the same way that  
20 they're able to invest in other grid  
21 modernization resources is important to enable  
22 technology providers to really reach as many  
23 customers as possible with solutions that provide  
24 daily bill savings, as well as daily peak demand  
25 reduction.

1           And the last existing barrier that we've  
2 recognized is that high friction enrollment and  
3 authorization processes that create significant  
4 drop-off for residential customers significantly,  
5 also, reduce grid visibility of where flexible  
6 load resources are in homes.

7           So, specifically, we have seen that, in  
8 utility programs that require customers to enter  
9 their utility account number to enroll, that  
10 there's a significant drop-off, as much as  
11 reducing participation to only three percent of  
12 customers.

13           And what is also an issue is that in the  
14 market-integrated programs there are customer  
15 authorizations required to access AMI data, which  
16 also require customers to enter information that  
17 they don't know by memory, such as their utility  
18 account number.

19           And so these frictions for residential  
20 customers are something that is significant.  
21 Because unlike commercial or industrial customers  
22 that may have third parties that are managing  
23 their energy use and can go through higher  
24 friction processes, for residential customers it  
25 really creates a disincentive to enroll because

1 it creates that level of friction that makes it  
2 difficult.

3           Next slide, please.

4           So ecobee, today, is harnessing the power  
5 of homes for a clean, resilient, and flexible  
6 grid of the future through personalized  
7 automation. And as I mentioned earlier, in 2020,  
8 ecobee broadly released a thermostat optimization  
9 platform that was delivered to all of its devices  
10 in the form of a free software upgrade, which is  
11 called eco+. And eco+ is a suite of five  
12 features that lets customers actually personalize  
13 their comfort and savings preferences for maximum  
14 efficiency with minimal effort.

15           And from the standpoint of energy  
16 efficiency, there's features that enable  
17 customers to save without actually impacting  
18 their comfort, so adjusting for indoor humidity  
19 levels that doesn't affect customer comfort but  
20 provides savings, adjusting for vacancy faster  
21 than ever before, as well as providing customers  
22 recommendations to update their schedule when it  
23 doesn't match their actual occupancy patterns.

24           Time-of-use optimization is something  
25 that is also offered through this upgrade. And

1 it pre-cools homes at times when electricity  
2 prices are lower, and actually provides  
3 thermostat setbacks during the peak period. And  
4 for customers who are on these rates there's a  
5 significant incentive for them to enroll because  
6 they save on their bill.

7           And we, additionally, offer demand  
8 response optimization through a feature called  
9 Community Energy Savings which lets customers  
10 know that if peak demand is creating strain on  
11 the grid, that their device will make automated  
12 adjustments to help prevent outages in their  
13 community.

14           Next slide, please.

15           So this is the Mobile Enrollment Wizard,  
16 some of the prompts that customers receive when  
17 they're enrolling in this platform, which we call  
18 eco+. So customers are prompted to select their  
19 utility provider. And they are also prompted to  
20 enroll or not enroll in features that I discussed  
21 earlier, such as Community Energy Savings which  
22 provides personalized demand response  
23 optimization. Time of use, which provides  
24 personalized time-of-use optimization, and for  
25 time of use they are then prompted to select the

1 rate structure that they are on.

2           So this is a very, very simple process  
3 for customers. All they need to do is toggle a  
4 feature on and off to enroll. And as it relates  
5 to rate optimization, then select the rate that  
6 they are on if they are able to identify the name  
7 of that rate structure.

8           Next slide, please.

9           So ecobee contracted third-party  
10 measurement and verification experts to measure  
11 the impacts of this platform, eco+, during  
12 Summers 2019 and 2020 using their Randomized  
13 Encouragement Design involving nearly a quarter-  
14 million devices. This is actually the largest  
15 third-party thermostat optimization study that's  
16 ever been conducted for smart thermostat  
17 optimization.

18           This study was designed to measure  
19 impacts across five U.S. climate zones, as well  
20 as Canada. And the impacts are measured against  
21 a control group of ecobee customers who did not  
22 receive the eco+ offer. The results are  
23 available on ecobee's website at  
24 [ecobee.com/ecoplusemv](http://ecobee.com/ecoplusemv).

25           There were a lot of really interesting

1 insights that we gained through this study,  
2 especially because it was conducted pre-COVID and  
3 during COVID. I won't be able to walk through  
4 all of them because I have limited time today.  
5 But what some of these insights provided is  
6 really interesting as it relates, also, to rate  
7 design.

8           I know there's a lot of discussion around  
9 the need for certain on-peak to off-peak price  
10 ratios to motivate customers to make manual  
11 changes to their energy usage. And what's very  
12 interesting is that when you involve technology  
13 that's responding to a signal, that's going to  
14 automate a response even if that ratio may not be  
15 as large as one that might be required to elicit  
16 a manual response to a rate structure.

17           We also learned that in California,  
18 specifically, we looked at time-of-use  
19 optimization on the SMUD time-of-use rate in 2019  
20 and 2020, and that during COVID there were nearly  
21 similar impacts than there were pre-COVID, which  
22 really told us some interesting insights around  
23 the platforms ability to maintain customer  
24 comfort when customers are home. So we saw time-  
25 of-use impacts that were similar to what we would

1 call mini DR events on a continuous basis. In  
2 California, in SMUD, it was about, per device,  
3 0.25 kW, and up to bill savings of eight to nine  
4 percent, as well as total energy savings on the  
5 rate of three to four percent.

6           What we were able to do is actually look  
7 at rate structures across the entire country and  
8 able to see what the effect is of technology on  
9 these different rate designs as it relates to  
10 automating response for customers. And what was  
11 really encouraging is that in each evaluated rate  
12 there was bill savings, overall energy savings,  
13 and significant peak demand reduction through  
14 daily rate optimization.

15           Next slide, please.

16           I think the key lesson from this study,  
17 though, as it relates to this topic of what is  
18 needed to scale grid-interactive efficient  
19 buildings is that scale is achievable today  
20 through simple vendor enrollment. And as we look  
21 at programs that exist today in California, we  
22 see, through data, that the customer enrollment  
23 process and the level of friction that is  
24 required in that enrollment process for customers  
25 to complete enrollment is directly correlated to

1 the program enrollment rate.

2           And so as we've seen in third-party  
3 evaluations of DRAM, participation rates can be  
4 as low as three percent. And bring your own  
5 thermostat programs, which do not require utility  
6 account numbers to complete enrollment, you can  
7 see enrollment rates around 20 percent. And  
8 through our study, where enrolling customers was  
9 as simple as them toggling on a feature on and  
10 off and them getting notifications on their  
11 thermostat when optimizations were happening, we  
12 were able to achieve up to 53 percent enrollment  
13 and, actually, similar load reductions that we  
14 see in utility programs, as well as similar opt-  
15 outs.

16           And so ecobee's vision is really that  
17 through making smart thermostats smarter and  
18 allowing customers to provide input on their  
19 level of comfort and savings, that there's a  
20 significant opportunity to scale grid-interactive  
21 efficient buildings through innovation that  
22 increases participation and, ultimately, leads to  
23 significant emissions reductions.

24           Next slide, please.

25           So really the key takeaways that I would

1 like to leave you with today is that, first,  
2 creating visibility of flexible load resources is  
3 critical. Today, the large majority of smart  
4 thermostats are not formally enrolled in a  
5 utility demand response program, and they are not  
6 integrated into the wholesale market, so that  
7 means that the majority of flexible load  
8 resources in customer homes today is not visible  
9 to grid operators.

10           Ecobee has about 20 percent of its  
11 California customers today receiving daily time-  
12 of-use optimization. But because that is not part  
13 of a utility program, grid operators do not have  
14 visibility into what those impacts are. And so  
15 there is megawatts of load shifting happening on  
16 the California grid that is not being accounted  
17 for and is not able to assist in system planning,  
18 create efficiencies, and be used, also, for  
19 distribution-level applications.

20           Another reason why creating this  
21 visibility is critical is because it provides  
22 vendors the incentive to further invest in  
23 maximizing participation. So while customers  
24 have that incentive to enable that feature  
25 because they receive those bill savings every

1 day, and the large majority of customers that  
2 have turned it on do not turn it off, ecobee has  
3 recognized there are, certainly, ways that we  
4 could further engage customers to significantly  
5 increase that percentage of customers that are  
6 receiving that daily rate optimization which, if  
7 scaled across all homes with smart thermostats  
8 today, could be very significant, especially as  
9 it comes to grid reliability and grid resiliency.

10           The second key takeaway is to consider  
11 policies that create aligned incentives between  
12 all parties, which includes utilities, technology  
13 providers, as well as customers, to reduce costs  
14 and emissions. And being able to wholistically  
15 value resources, such as connected devices which  
16 improve over time through software upgrades,  
17 which is very different than, I think,  
18 traditional energy efficiency measures which  
19 cannot change over time, and so being able to  
20 wholistically value resources on this basis would  
21 certainly help to the extent that it's something  
22 that could scale across states.

23           And third, to consider mechanisms that  
24 really enable scale through simple vendor  
25 enrollments. And some ideas on what that could

1 look like would be to engage in emergency  
2 agreements or load management agreements where  
3 vendors can really enable a much higher  
4 participation rate in things like emergency  
5 demand response or rate optimization by removing  
6 those high friction processes that are currently  
7 deterring customers, residential customers, from  
8 completing enrollment because it's something that  
9 would require them to take action and is not as  
10 simple as something they can click a feature on  
11 or off and know any information through memory.

12           And lastly is to continue to include  
13 technology providers in policy and planning  
14 discussions.

15           We really appreciate being invited to  
16 speak here today. And we hope that the learnings  
17 that ecobee has achieved over the past two years  
18 through its third-party evaluation of this  
19 platform is valuable to California and to the  
20 rest of the country as it relates to what's  
21 needed to really scale grid-interactive efficient  
22 buildings throughout the country.

23           Thank you so much.

24           MR. BUCANEG: Thank you, Tamara.

25           And, again, thank you to all of our

1 panelists. There was a lot of good input ranging  
2 from customer prioritization, utility rate  
3 options, funding program options and incentive  
4 strategies, policy strategies, program enrollment  
5 strategies, and just so much more.

6 But now I will go ahead and turn things  
7 back over to you, Commissioner McAllister, for  
8 your discussion.

9 Thank you.

10 COMMISSIONER MCALLISTER: Thank you so  
11 much, Haile.

12 And thank you, Angela, Clay, Margot,  
13 Rois, Liz, and Tamara, all six of you did a great  
14 job, so thank you very much.

15 And, Haile, nice job sort of putting  
16 everybody in the broad categories because this  
17 was a wide-ranging panel but, I think, really  
18 around proactive solutions, focusing on, you  
19 know, proactive and readily doable-in-the-  
20 marketplace solutions to harness load  
21 flexibility.

22 So thank you all for all your, you know,  
23 sleeves rolled up in the trenches, mobilization  
24 of customers and devices and equipment, to really  
25 be part of the solution. And it's great to hear

1 that -- well, it's certainly great and  
2 distressing to hear that you're standing by,  
3 waiting for us to get it right, so you can jump  
4 into the marketplace even more. And, ecobee,  
5 really appreciate all your innovation on this  
6 front. And we want to give you more robust and  
7 direct and meaningful signals so that you can  
8 help your customers take advantage of that.

9 I do have a question directed, I guess,  
10 at Clay, if he's still on?

11 MR. NESLER: I'm here, Commissioner.

12 COMMISSIONER MCALLISTER: Oh, hey, Clay.  
13 Good to see you. Really, really nice  
14 presentation, very clear and, you know, I think  
15 it presents tremendous opportunity to amp up the  
16 EPC marketplace.

17 I guess if you could give us -- and I  
18 think Mary Ann actually asked the question here  
19 for you, as well, that's related to mine, trying  
20 to get a sense of where the performance  
21 contracting industry is today? Obviously, it's  
22 mature. You described some great projects.  
23 Could you give us a flavor of the kind of capital  
24 that's coming to these off-balance-sheet  
25 projects, you know, some of which you described?

1 You know, what kind of rates? What does it look  
2 like to the customer? You know, is it third-  
3 party? Is it in-house? I mean, I imagine it's  
4 pretty diverse. But could you just describe kind  
5 of where the capital is on these projects?

6 MR. NESLER: Yeah. Glad to.

7 So the U.S. Federal Government, this is  
8 one of the primary ways in which Department of  
9 Defense, Department of Energy, other agencies,  
10 they invest in deep energy retrofits. The  
11 funding comes from private sources. So, actually,  
12 one of the things that an ESCO does is bring  
13 forward private capital.

14 Now the way these projects are  
15 structured, they're generally cash-flow positive,  
16 even in the first year. So, yes, a lot of the  
17 energy savings goes towards paying for the  
18 capital improvements, the debt, right, service.  
19 But, generally, the customers are actually  
20 benefitting. And then, of course, over the term  
21 of the contract all the energy savings goes to  
22 those public institutions.

23 So it's always private finance, usually  
24 from specialty finance organizations for the  
25 federal government. But municipalities, for

1 instance, have the option to use municipal  
2 finance, which is generally at a lower rate of  
3 interest. The Hawaii project, which I described,  
4 issued a Green Bond, and it was oversubscribed by  
5 a factor of two or three.

6 COMMISSIONER MCALLISTER: Wow.

7 MR. NESLER: So no lack of capital in the  
8 world. We just need to find a way to get the  
9 capital to these positive impacts.

10 And so that's one of the services that an  
11 ESCO provides is finding the money for these kind  
12 of things. But, again, with everything paid  
13 through savings there's no ratepayer impact on  
14 this, and there's no taxpayer impact on it  
15 either. So you know, this is fairly budget-  
16 neutral. And depending on the model, whether  
17 it's efficiency as a service or traditional  
18 performance contracting, it can be off credit or  
19 it can be off balance sheet. So you know, we see  
20 a lot of interest in like private universities  
21 being able to finance their projects that way.  
22 There are a lot of innovative models that we can  
23 use.

24 Mary Ann also asked one other interesting  
25 question. She said, "Clay, can you do a whole

1 bunch of homes with a structure like this?" And,  
2 in general, ESPCs, the reason they work is  
3 there's one customer, so it's been very  
4 successfully used in affordable public housing.  
5 It's been very successful in condominiums and  
6 multifamily where there's a single organization  
7 that is responsible for the payment of the  
8 utilities and has a credit rating.

9           So aggregation of lots of disparate  
10 things is a little more challenging. But  
11 certainly as we talk about public housing,  
12 affordable housing, this is an effective model  
13 that's been used for years.

14           COMMISSIONER MCALLISTER: Okay. Sorry.  
15 My connection froze up there for a minute, so I'm  
16 just back. Thanks for that.

17           I want to give, well, anybody else the  
18 opportunity, let's see, to comment on, sort of,  
19 on that question. I'm not sure it's really up  
20 others' alley hear. But also open it up to my  
21 colleagues on the dais.

22           Commissioner Shiroma or Commissioner  
23 Houck? Vice Chair Gunda?

24           COMMISSIONER HOUCK: I apologize for  
25 having to step out for part of it, so I didn't

1 get to see all of the presentations. I know that  
2 there's a question in the Q&A that I think Gabe  
3 said he wanted to answer in the live session.  
4 And I'd be interested to hear his response to  
5 that question.

6 MR. TAYLOR: Commissioner, I'm managing  
7 the Q&A. I will pose those questions to the  
8 panel after you're done with your dialogue.

9 COMMISSIONER HOUCK: Okay.

10 MR. TAYLOR: I could pose that question  
11 now, if you'd like?

12 COMMISSIONER HOUCK: I can wait until  
13 later. I don't have any additional questions,  
14 other than I appreciated all of the information.  
15 And the examples from Clay were very impressive  
16 and I hope we can get more of those examples out  
17 there here in California.

18 COMMISSIONER SHIROMA: Here's my  
19 question, and forgive me if some of you covered  
20 this and I simply missed it, so anecdotally, I  
21 live in SMUD territory. I served for 20 years as  
22 elected on the SMUD Board. But I still have the  
23 box on my air conditioning unit outside. It's  
24 radio controlled. And these things are still  
25 used by SMUD and PG&E and others. And I received

1 a letter from them recently that if I continue to  
2 let SMUD have access to it, that there may be  
3 times when they will shut off my air conditioner  
4 or, I think it was, for no more than two hours,  
5 and they would give me a \$5.00 credit on my bill.  
6 Okay.

7 My question is this, that I'm the kind of  
8 person that, indeed, will just, will live with  
9 it. If SMUD needs to turn off my air conditioner  
10 for a couple hours, okay. It hasn't happening,  
11 actually, for all the time that I had that on  
12 there. Back in 2006 it happened. If this is the  
13 melding of the technology, the uptake, the opting  
14 in, and then the customer reaction, I know, at  
15 what point, as we have heat storms, has anybody  
16 done any studies or work if we have heat storms?  
17 Is there kind of a breaking point where customers  
18 say, I'm opting out, I'm going to override this  
19 thing, and then the grid, you know, ends up  
20 garnering as much benefit as we were counting on?

21 So, really, this has to do with the more  
22 recent type of heat storms we've been  
23 experiencing in California, which have been  
24 extraordinary, and whether that is factoring into  
25 customer behavior, more residential than

1 commercial, where there is a breaking point where  
2 they reach for that override?

3 MS. DZUBAY: So we know that during the  
4 rolling blackouts in 2020, we were actually in  
5 the midst of completing our third-party  
6 measurement and verification study. And we sent  
7 Community Energy Savings events to our California  
8 customers in that study. And so we have the  
9 evaluated impacts during one of those heat  
10 storms. Of course, you see the greatest impacts  
11 in the first two hours because, ultimately, when  
12 you're pre-cooling homes before the peak period  
13 you're trying to use the home as a battery to  
14 ride out that peak. And so, you know, it can  
15 work in increments of a few hours until then you  
16 are starting to see customers opt out from  
17 discomfort.

18 But I think if you have scale of the  
19 devices and you can pull customers into and out  
20 of those events in a way that tries to maintain  
21 their comfort, that, you know, you can really  
22 help mitigate some of those negative customer  
23 experiences. But it's also really about scale  
24 and enabling scale to do that, both from trying  
25 to leverage existing resources, all the existing

1 resources in homes today, but also trying to  
2 deploy more resources that are flexible loads to  
3 customers' homes that don't have them.

4           And so it certainly is something where,  
5 you know, customers are probably not -- like at  
6 ecobee, we don't like to have more than four  
7 hours of a demand response event because customer  
8 experience is first and foremost. And we know  
9 that if you're exceeding a four-hour period for  
10 an event, that is going to be negatively  
11 impacting customer comfort and the customer  
12 experience. And so it's really the ability to  
13 create scale and strategies around how to pool  
14 and aggregate resources, which is why having that  
15 visibility for grid operators is so important.

16           MS. LANGNER: I was going to add --

17           COMMISSIONER SHIROMA: Thank you.

18           MS. LANGNER: -- onto that --

19           COMMISSIONER SHIROMA: Go ahead.

20           MS. LANGNER: -- just a little bit. You  
21 know, staging equipment more, so two hours -- and  
22 you know, I'm coming from the research, more  
23 theoretical background here, but being able to  
24 stage two hours seems like it could be a long  
25 time to be without air conditioning if it's

1 extreme heat. But what if you reduce that time  
2 and spread that, as Tamara was just saying, in  
3 aggregate, so it's only 15 minutes per home but  
4 you're doing more increments across a larger  
5 portfolio of buildings?

6 So I definitely think there's capability  
7 to parse it out a little bit more.

8 COMMISSIONER MCALLISTER: I want to  
9 actually throw on Commission comment and just --

10 COMMISSIONER SHIROMA: I think Angela was  
11 trying to speak but I think --

12 COMMISSIONER MCALLISTER: Oh, sorry.

13 COMMISSIONER SHIROMA: -- you're on mute.

14 COMMISSIONER MCALLISTER: Oh, sorry.

15 MS. RAITT: I think you're muted, Angela,  
16 maybe double muted.

17 COMMISSIONER MCALLISTER: Yeah. Go  
18 ahead, Angela. Sorry.

19 MS. AMOS: There we are. I am double  
20 muted. Thank you.

21 I will second what others have said, that  
22 Uplight's observation is that when we perfect our  
23 algorithms we're able to pre-cool customers'  
24 homes such that they are comfortable enough not  
25 to opt out. And what we observe over time is

1 that when we have effective communication with a  
2 customer in advance of something, of extreme  
3 events happening, and when the terms and  
4 conditions of our partnership are super clear,  
5 customers understand that they always have the  
6 ability to make sure that they're comfortable,  
7 and if they need to opt out, they can. But if  
8 they do that a lot over time, then they may not  
9 be suitable for enrollment in a program in the  
10 first place.

11           So our primary goal, as, you know, others  
12 have said is to prioritize customer comfort, and  
13 customer awareness, and customers willingness to  
14 participate fully in the programs but understand  
15 that they, too, have a responsibility to not  
16 abide by the terms and conditions but be aware  
17 that there can't be a pattern, that opting out  
18 can't be a habit.

19           COMMISSIONER MCALLISTER: I wanted to  
20 jump in here, Commissioner Shiroma, as well. I  
21 think there's an opportunity to work with some of  
22 our panelists here to understand how we might  
23 target weatherization services in this realm,  
24 too, because, you know, we need to find ways to  
25 get into disadvantaged community housing, single-

1 family, you know, low-income housing. And  
2 there's just lots of deferred maintenance, a lot.  
3 You know, the air districts are working on this  
4 for air quality reasons, so there is a fair  
5 amount of money that could be going into low-  
6 income in new ways. And insulation and air  
7 sealing of a home actually allows it to ride out  
8 along the period of time after pre-cooling as  
9 well. And so there's quite a good synergy there  
10 for the programs that we have and that we could  
11 layer more activity and funding into already to  
12 sort of meet multiple goals.

13 COMMISSIONER SHIROMA: Yeah. And you and  
14 I have talked about those synergies before.  
15 Very, very important-important points, yes.

16 COMMISSIONER MCALLISTER: Some of the  
17 extreme heat resources that, you know, we're  
18 going to have to mobilize, as well, could  
19 actually layer really nicely into this. So we  
20 need to work with folks, like ecobee and others,  
21 who have looked at -- who have, you know, an  
22 understanding of where and how those resources  
23 can be most effective.

24 Anyone? Do you have any other questions,  
25 either Commissioner Shiroma or Houck? Okay.

1 Great.

2 Let's see, we're doing okay on time.

3 Let's see. I think, why don't -- we do have a  
4 number of questions over here on the Zoom chat,  
5 so --

6 MR. TAYLOR: If --

7 COMMISSIONER MCALLISTER: -- or the Q&A,  
8 rather.

9 So, Gabe, why don't you moderate?

10 MR. TAYLOR: Sure. Thank you,  
11 Commissioner.

12 We have two questions, primarily two  
13 questions, on the Zoom chat. I'm going to do  
14 them in order. I'm paraphrasing as best I can to  
15 make them clear.

16 Steven McDonald with TMX (phonetic) has a  
17 question for Margot Everett. "Do you think  
18 legislation is needed before regulators will have  
19 the authority to adjust the legacy rate recovery  
20 mechanism to a GEB-focused rate recovery  
21 mechanism, or do you think they have the  
22 authority to reform those rate recovery  
23 mechanisms now?"

24 MS. EVERETT: So I would say in the state  
25 of California, you're probably in better shape.

1 While rate design, certain aspects of rate design  
2 in California, are legislated, it is a state that  
3 has, for decades, embraced the concept of cost-  
4 based rates, avoided cost-based rates, and so to  
5 introduce rate mechanisms that continue to  
6 embrace that is something that, I think, is at  
7 the core of how California approaches rate  
8 design, and what the regulators think about rate  
9 design.

10           So I don't think it's a stretch. I think  
11 the fact that, you know, as Mary Ann pointed out,  
12 the fact that California is exploring things like  
13 real-time pricing options and other dynamic  
14 pricing, really does speak to the fact that there  
15 is this flexibility in rate design within our  
16 state.

17           There are some -- when it gets to the  
18 residential customer, however, I will say that  
19 there are some legislated mandates around default  
20 rate structures, meaning that they have to be  
21 tiered. So there are some possible limitations  
22 there that get complicated. Tier rates are a  
23 more complicated rate structure for customers to  
24 understand and gets even more complicated when  
25 you try to introduce things like real-time

1 pricing. It can be option to not be tiered but  
2 it can't be the default as I understand the law.  
3 I'm not a lawyer, so I'm not going to say too  
4 much there, but that's my understanding of the  
5 legislation.

6           So I do think there's a lot of  
7 flexibility in California. You see a lot of  
8 innovation rates in California, a lot of  
9 different types of rate design, anything from, as  
10 I mentioned, the dynamic real-time pricing. You  
11 see subscription rates, particularly in the EV  
12 space. You see time-of-use rates. You see all  
13 sorts of different types of rate structures and  
14 creativity. So I don't think it's a real problem  
15 for California directly, although it might be  
16 more so in other states.

17           And I open -- you know, I welcome  
18 comments from others here to add to that or  
19 whatnot.

20           MR. TAYLOR: Commissioner Shiroma, I see  
21 you've answered the question -- the response from  
22 SkyCentrics concerning water heaters. And I'd  
23 also reference back to our Flexible Demand  
24 Appliances Standards. Here at the Energy  
25 Commission, our staff is aggressively looking at

1 the opportunities for load flexibility where  
2 there is minimal or no impact on the customer  
3 quality of service.

4 COMMISSIONER SHIROMA: Yeah.

5 COMMISSIONER MCALLISTER: So I --

6 COMMISSIONER SHIROMA: And water heater  
7 versus HVAC, very, very good distinction, yeah.  
8 Thank you.

9 MR. TAYLOR: And I would add, and  
10 Commissioner McAllister certainly can attest to  
11 this, very much the discomfort to the occupant  
12 when you're load shifting HVAC very much depends  
13 on the envelope. If you have a high-quality  
14 envelope, then there can be minimal to no impact  
15 on a customer for fairly long periods of time. I  
16 know my house can ride through six to ten hours  
17 of high temperature with very little discomfort.

18 COMMISSIONER MCALLISTER: Yeah. Good  
19 point.

20 I wanted to just send some kudos to  
21 Washington. Liz, thank you very much for being  
22 here, and for your input on the Flexible Demand  
23 Appliances Standards front, and the water  
24 heaters, you know, water heater initiative that  
25 Washington has done. I think we need to look to

1 your leadership and help move this market.

2 I mean, fundamentally, our programs move  
3 markets if we, you know, get the whole West Coast  
4 to do similar things, then the market has to take  
5 notice. They just can't not take notice. And so  
6 I think we're on the cusp of being able to do  
7 important things with water heaters, HVAC, and  
8 other end-use devices.

9 Did anybody else want to ask a question?

10 MR. TAYLOR: Commissioner, that tees up -  
11 -

12 COMMISSIONER MCALLISTER: Commissioner  
13 Houck?

14 MR. TAYLOR: -- that, actually, tees up  
15 the next question on the Zoom chat, if we're  
16 ready for that one?

17 COMMISSIONER MCALLISTER: I wanted to  
18 make sure Commissioner Houck did not have any  
19 questions.

20 MR. TAYLOR: Sure.

21 COMMISSIONER MCALLISTER: Oh, great.  
22 Okay. Perfect. Thank you.

23 All right, yeah, go to the next question  
24 then, please, Gabe. Thanks.

25 MR. TAYLOR: From SkyCentrics, this is a

1 question directed at Liz Reichart. "Are you  
2 familiar with the ENERGY STAR connected water  
3 heater specification that was, apparently,  
4 released today? I'm not. But if so, are you  
5 concerned with how the cloud-based OpenADR is  
6 allowed as an alternative to CTA-2045?"

7 MS. REICHART: Thanks for that question.

8 And thank you, Commissioner, for your  
9 kind words about Washington. I know Washington,  
10 equally, we're tracking what's going on in  
11 California with your own Flexible Appliance  
12 Standard's work.

13 In response to question, you know, I  
14 think it will always be tough to get all  
15 stakeholders aligned. And you rightfully point  
16 to the potential for some kind of federal  
17 standard. But we really like the fact that CTA-  
18 2045, that port allows multiple utilities or  
19 programs to include that water heater in their  
20 demand response program. I'm not sure if that's  
21 possible with the ENERGY STAR specification. But  
22 we in Washington at least really hope to preserve  
23 the open character of our standard.

24 Thanks for your question.

25 MR. TAYLOR: That's all the comments from

1 the Q&A, Commissioner.

2 COMMISSIONER MCALLISTER: Well, great.

3 Okay. Well, thanks.

4 Again, I think this afternoon had a lot  
5 of substance for us to chew on. And we'll  
6 definitely be following up with all of you for  
7 some reason or another. A lot of creativity in  
8 the room. And I think we're living in a moment  
9 that -- and it's largely because of the urgency  
10 that we all feel, where it's just unleashing a  
11 lot of creativity. And as you said, Clay,  
12 there's a lot of capital floating around there  
13 and looking for somewhere to go, and we need to  
14 give it some place to go. So a lot of great  
15 discussion today.

16 I think with that, we'll move on to any  
17 public comment that we might have.

18 MS. AVALOS: Thank you, Commissioner.

19 COMMISSIONER MCALLISTER: Is the Public  
20 Advisor's Office -- great.

21 MS. AVALOS: Thank you, Commissioner  
22 McAllister.

23 I'm going to read off -- please, allow  
24 one person per organization make a comment, and  
25 comments are limited to three minutes per

1 speaker. I'm going to start, first, with the  
2 folks using the raise-hand feature on Zoom. And  
3 let's take a look here. I don't see any raised  
4 hands on Zoom.

5 So I'd just like to remind -- and I don't  
6 see anyone on the phone, either, so I'll just  
7 give it a few seconds to see if anybody would  
8 like to raise their hand and make a comment.

9 Okay, seeing that there are no raised  
10 hands, then that concludes comments. And I turn  
11 to Commissioner McAllister now.

12 MR. TAYLOR: Commissioner?

13 COMMISSIONER MCALLISTER: Thank you.  
14 Thank you, Rosemary.

15 Yes, Gabe?

16 MR. TAYLOR: Sorry. We had one more  
17 comment come in on the Q&A. It's a bit of a  
18 longer comment. I was hoping the commenter would  
19 speak during the public comment period. But I'd  
20 like to, just for completeness, read off a little  
21 bit of it, if you don't mind?

22 COMMISSIONER MCALLISTER: Yeah. Yeah,  
23 please. That's fine.

24 MR. TAYLOR: This is from Kirk Oatman,  
25 commenting on smaller commercial buildings. He

1 comments that, "Few programs are actually  
2 effective for this buildings because projects are  
3 small but paperwork is excessive." The commenter  
4 says that "They consistently achieve 20 percent  
5 energy efficiency savings with a small building  
6 management system. And DR is fully integrated  
7 into whole-building AI calculations." Just a  
8 little bit more to the comment here. I'm hoping  
9 the commenter will comment on the record.

10 Thank you.

11 COMMISSIONER MCALLISTER: Great. Thanks  
12 for that, Gabe.

13 Well, with that, I think we're going to  
14 wrap up. I think a few announcements. Our next  
15 IEPR workshop is Monday, October 25th, on energy  
16 efficiency, on the energy efficiency doubling  
17 goal, SB 350 goal, to go out there and get more  
18 energy savings, so thanks for that.

19 There you go, Raquel.

20 Here's what we ask folks to do to get  
21 public comments in, due on October the 9th -- oh,  
22 I'm sorry, to get their written comments in. And  
23 there, yes, there's the upcoming workshops.

24 And then if you could put up the slide  
25 for public comments? That would be great.

1           So by the 19th from today. And there's  
2 the information on the docket.

3           I wanted to invite our dais members here,  
4 perhaps beginning with our friends at the PUC,  
5 Commissioner Shiroma and Houck, to make any wrap-  
6 up comments you might want to make.

7           COMMISSIONER SHIROMA: I'll simply say  
8 thank you, Commissioner McAllister, Vice Chair  
9 Gunda, to all of the panelists and the attendees,  
10 very, very important effort. And I look forward  
11 to problem solving together.

12           Thank you.

13           COMMISSIONER MCALLISTER: Great. Thank  
14 you.

15           Commissioner Houck, did you want to make  
16 any comments?

17           COMMISSIONER HOUCK: Yes. I also wanted  
18 to thank you, Commissioner, Vice Chair Gunda,  
19 Commissioner Shiroma, and all of the staff and  
20 presenters today. It was a great workshop, lots  
21 of information, very inspiring. And I'm really  
22 excited about the opportunities that we have.

23           I think, as you said earlier,  
24 Commissioner McAllister, we're living in a really  
25 pivotal time right now where we have so much

1 potential to make these changes that are going  
2 make such a difference in how and when we use  
3 energy and give people choices, as well as being  
4 able to crosscut with disadvantaged communities.  
5 And I am really looking forward to working with  
6 my fellow Commissioners at the PUC and with the  
7 Commissioners at the CEC on moving these efforts  
8 forward.

9           And so I want to thank you, again, for  
10 this wonderful workshop, it was great, so thank  
11 you.

12           COMMISSIONER MCALLISTER: Of course. You  
13 made it much, much better by your presence and  
14 collaboration, so thank you both for being here.

15           Vice Chair Gunda, did you want to make  
16 any comments? I think I saw --

17           COMMISSIONER GUNDA: Yeah.

18           COMMISSIONER MCALLISTER: There he is.

19           COMMISSIONER GUNDA: I'm sorry.

20           COMMISSIONER MCALLISTER: Okay.

21           COMMISSIONER GUNDA: Yeah. I'm sorry,  
22 Commissioner McAllister, I'm going to keep the  
23 video off. I'm just having a spotty signal.

24           COMMISSIONER MCALLISTER: Okay.

25           COMMISSIONER GUNDA: Yeah. I just want

1 to echo Commissioner Houck and Commissioner  
2 Shiroma's comments.

3           And I think I just want to, first of all,  
4 you know, recognize your continued leadership in  
5 this area. You know, I think you -- you know,  
6 this year has been a huge kind of forward steps  
7 in the building arena and, more broadly, the code  
8 and then, you know, the codes and standards  
9 earlier this year, the 3232 Report, the broader  
10 building decarbonization dialogue that's  
11 happening. And this is really a wonderful day of  
12 conversation around the DERs and the integrated  
13 nature of the buildings and how to bring it all  
14 together. So just really appreciate your  
15 leadership on this.

16           And you know, I want to recognize  
17 Commissioner Houck's proceeding, the DER  
18 proceeding, at CPUC. I think it's just coming.  
19 It's such a pivotal time for the broader  
20 conversation and really look forward to engaging  
21 there as a Commission but, also, you know, just  
22 encouraging the stakeholders to really provide  
23 robust participation in that proceeding because I  
24 think it's going to unlock a lot of value for the  
25 state as a whole, and Commissioner Shiroma's, you

1 know, kind of leadership on both equity an the  
2 broader affordability discussion, and just  
3 appreciate the three of you and your leadership  
4 on various aspects.

5           And thanks to Heather and her team, as  
6 usual, and the Efficiency Division for putting  
7 together such a wonderful day today.

8           And it's, obviously, not feasible without  
9 the speakers and their time and their generosity  
10 in coming here and talking to us, so thanks to  
11 all the speakers for their time today.

12           And I think, you know, I just want to  
13 just close on reiterating what I mentioned  
14 earlier in the day today. You know, the SB 100  
15 goal, you know, kind of necessitates the state to  
16 move towards doubling or tripling or quadrupling  
17 our system level, you know, grid capacity. And  
18 that, obviously, that view doesn't take into  
19 account the optimal of the taking advantage of  
20 the DERs as a whole. And as Commissioner  
21 McAllister pointed out, we haven't really looked  
22 at load flexibility in SB 100. But the few  
23 sensitivities we looked at, you know, really  
24 points to an incredible value on the grid overall  
25 for load flexibility.

1           And then I just want to then bring it  
2 back to the 2025-2030 time frame, you know, with  
3 the recent decision at CPUC with 11,500 MQC  
4 (phonetic) procurement, which almost translates  
5 to 25,000 megawatts of new capacity additions in  
6 the next five years, we are looking at, you know,  
7 unprecedented levels of kind of development and  
8 steel in the ground. And I think one thing that  
9 we absolutely have to take advantage of is the  
10 load side and demand side and how do we integrate  
11 that flexibility? And I really appreciated  
12 Carl's point earlier around the resiliency  
13 centers or the hubs in the state and how do we  
14 expand the local resiliency using the DERS?

15           So it's a very robust conversation, and  
16 love to move this forward. It's an important  
17 time for all of us. And I really appreciate the  
18 public dialogue and helping move this  
19 conversation forward.

20           Thanks to everybody.

21           Thanks, Commissioner McAllister.

22           COMMISSIONER MCALLISTER: Thank you very  
23 much, Vice Chair Gunda. That was great. And I  
24 couldn't agree with you more. I think, you know,  
25 what we're trying to do at both Commissions,

1 really, is create tools, certainly at the Energy  
2 Commission, trying to create tools and expand the  
3 toolbox for actually linking up all these  
4 resources and coordinating them in real time.  
5 And you know, that's -- it takes a village to do  
6 that in terms of our regulatory regime in the  
7 state. And again, just really appreciate all the  
8 activity that's going on at the CPUC that  
9 complements, you know, all of our efforts and  
10 really helps facilitate this transition.

11           And you know, we're going to get to 100  
12 percent renewables. The question is what path we  
13 take. And our buildings can help with that, you  
14 know, help the decarbonization pathway by, you  
15 know, modulating load and using low-carbon  
16 resources and being able to flex, as we've talked  
17 about all day today. But even once we get there  
18 and we're 100 percent, you know, load flex will  
19 be a key resource for keeping costs reasonable  
20 and managing the grid, you know, for all time.  
21 And I think we're really building a platform that  
22 has that kind of resonance and that kind of long-  
23 term tenure. It's really a new vision for how  
24 the grid is going to operate and these resources,  
25 and having them automated.

1           And we've heard a bunch of leaders today,  
2 from David Nemptzow throughout the day after, that  
3 play really key parts in that overall ecosystem.  
4 And so, you know, I think that it's really not  
5 possible to silo these issues anymore and we  
6 really just have to make sure that, from top to  
7 bottom, the system is well coordinated, you know,  
8 at each moment, and that buildings really can  
9 help be a part of that overall grid management  
10 solution.

11           So we have the technologies to do it.  
12 And you know, there's more creativity. I think  
13 Carmen Best said it, there's just a lot of  
14 creativity out there in the marketplace that's  
15 looking, that has solutions and needs a place in  
16 the marketplace to apply them.

17           And we didn't talk much about data today  
18 but, certainly, you know, the data environment  
19 and access to data in ways that make sense,  
20 secured access to data that helps facilitate this  
21 market activism here in the market role is  
22 another thing we have to make progress on.

23           So working together on all that, I really  
24 appreciate everyone attending today. Those 71 of  
25 you that are still on, thanks for duking it out

1 until the bitter end here.

2           And Commissioner Shiroma and Houck, thank  
3 you so much for being with us all day, and Vice  
4 Chair Gunda, you as well. Really appreciate all  
5 of your leadership in all the various areas  
6 across both Commissions. And looking forward to  
7 lots of good follow up and, certainly, want to  
8 get -- as we develop the IEPR document, want to  
9 make sure that it's as clear and relevant and, I  
10 think, impactful as we can, so certainly going to  
11 be working, will continue, with the staff over at  
12 the PUC to help that happen as well.

13           So thanks to all of our speakers, our  
14 moderators. It was a super diverse day with lots  
15 of different perspectives that all complemented  
16 one another, so thanks again for all the time and  
17 energy that went into all the presentations, and  
18 thanks very much.

19           I think, with that, I'll pass it back to  
20 you, Heather, to wrap us up.

21           MS. RAITT: Oh, I thank you. Great.  
22 Thank you. Just a reminder, again, that comments  
23 are due on October 19th. And I hope to see  
24 everybody again on October 25th for a workshop  
25 again on energy efficiency and SB 350.

1                   COMMISSIONER MCALLISTER: Great. Well,  
2 thanks everyone, again. And we are adjourned for  
3 the day. Take care.

4                   (The meeting adjourned at 4:24 p.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 27th day of December, 2021.



---

MARTHA L. NELSON, CERT\*\*367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

December 27, 2021