

DOCKETED	
Docket Number:	21-IEPR-03
Project Title:	Electricity and Natural Gas Demand Forecast
TN #:	241272
Document Title:	Transcript - 12221 IEPR COMMISSIONER WORKSHOP ON ELECTRICITY AND NATURAL GAS DEMAND FORECAST FOR 2021-2035 - Session 2
Description:	Transcript - 12221 IEPR COMMISSIONER WORKSHOP ON ELECTRICITY AND NATURAL GAS DEMAND FORECAST FOR 2021-2035 - Session 2 - Transportation Forecast and Demand Scenarios Project - 2:00 P.M.
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	1/25/2022 12:00:36 AM
Docketed Date:	1/25/2022

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

2021 Integrated Energy Policy) Docket No. 21-IEPR-03
Report (2021 IEPR))
) RE: Electricity and
) Natural Gas Demand
) Forecast
_____)

IEPR COMMISSIONER WORKSHOP ON
ELECTRICITY AND NATURAL GAS DEMAND FORECAST FOR 2021-2035

REMOTE VIA ZOOM

THURSDAY, DECEMBER 2, 2021

Session 2: Transportation Forecast and Demand Scenarios
Project

2:00 P.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONERS

Andrew McAllister, Lead Commissioner

Siva Gunda, CEC Vice Chair

Patty Monahan

CEC STAFF

Heather Raitt, IEPR Manager

Aniss Bahreinian

Jesse Gage

Bob McBride

Matt Coldwell

Mike Jaske

Anitha Rednam

Dorothy Murimi

INDEX

	<u>PAGE</u>
Introduction	4
Opening Remarks	5
Transportation Energy Demand Forecast	13
Aniss Bahreinian	
Jesse Gage	
Bob McBride	
Demand Scenarios Project	62
Mike Jaske	
Anitha Rednam	
Public Comments	89
Closing Remarks	90
Adjourn	91

1

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

2:00 P.M.

THURSDAY, DECEMBER 2, 2021

MS. RAITT: All right. Well, good afternoon and welcome to the 2021 IEPR Commissioner Workshop on the Electricity and Natural Gas Demand Forecast for 2021-2035. I'm Heather Raitt, the Program Manager for the Integrated Energy Policy Report, or the IEPR for short.

The workshop is being held remotely consistent with Assembly Bill 361 to improve and enhance public access to state agency meetings during the COVID-19 pandemic by allowing teleconferencing options. The public can participate consistent with the directions provided in the notice for this workshop.

This is the afternoon and final session. To follow along with today's discussion, the workshop schedule and presentations are available on the Energy Commission's website. Just go to the 2021 IEPR and you can find them there.

All IEPR workshops are recorded, and the recording will be linked to CEC website shortly following the workshop. And a written transcript

1 will be available in about a month.

2 Attendees have the opportunity to
3 participate today by two different ways, asking
4 questions or upvoting questions submitted by
5 others through the Zoom Q&A feature, or making
6 comments during the public comment period at the
7 end of the afternoon, or by submitting written
8 comments following the instructions on the
9 meeting notice. And written comments are
10 welcome, and they are due on December 16th.

11 And with that, I'll be pleased to turn it
12 over to Commissioner Andrew McAllister, who is
13 the Lead Commissioner for the 2021 IEPR.

14 Go ahead and thank you.

15 COMMISSIONER MCALLISTER: Thank you,
16 Heather. I really appreciate, again, the morning
17 was great. And I'm looking forward to another
18 couple of great topics this afternoon. And
19 again, thanks for all the diligence by you and
20 your staff and all the different presenters this
21 morning and the ones to come now.

22 I don't want to take up too much time,
23 but I just wanted to just kick us off, the two
24 sessions here in the afternoon, Transportation
25 Energy Demand Forecast. And we talked to -- had

1 some interesting conversation about how this can
2 fit in, sort of in a more integral way, into the
3 rest of the forecasts and the broader transition
4 conversation, which I think is absolutely right.

5 And we're really fortunate to have
6 Commissioner Monahan, the Lead on Transportation
7 her at the Commission, with us. And I'll give
8 her the microphone for, I'm sure, will be more
9 extensive comments here in a little bit, and Vice
10 Chair Gunda, who is the lead on -- that oversees
11 the Energy Assessments Division, and also the
12 forecast in its entirety, so happy to have both
13 of them again with us on the dais. And I think
14 that's it for Commissioners. I believe so.

15 So with that, looking forward to the
16 Transportation Demand Forecast, and also the
17 Demand Scenarios Project which is really
18 innovative and I think will help us turn over the
19 right rocks in the right moment and look sort of
20 more with -- over the horizon a little bit
21 further and inform a whole bunch of different
22 work that's happening across the Commission, so
23 really relevant topics.

24 So with that, I'll pass, I suppose, to
25 Vice Chair Gunda first, and then Commissioner

1 Monahan.

2 COMMISSIONER GUNDA: Yeah. Thank you,
3 Commissioner McAllister.

4 Just want to echo your thanks, again, to
5 the IEPR Team and the entire staff for pulling
6 this workshop together. Yeah, I just really
7 enjoyed this morning's workshop. We don't get a
8 lot of opportunities to just kind of have a
9 discussion like we did this morning. It was
10 just -- it's just really, really good to have
11 those discussions going and wonderful to have
12 that conversation.

13 Also, I appreciated Commissioner
14 Monahan's kind of overarching comment on, you
15 know, the ability to take the forecasting
16 products, you know, as I was thinking through
17 lunch, you know, taking it from purely planning
18 products to more of policy products, you know,
19 where we can crosswalk them and have the ability
20 to have the speak in multiple, you know, kind of
21 forums and ability to have those policy
22 discussions based on the planning products. So I
23 really appreciated Commissioner Monahan's
24 insights into that, and Commissioner McAllister,
25 your leadership, as always, both the building

1 space and, broadly, the analytical space.

2 I'm really, really looking forward to the
3 Transportation Demand Forecast. I know, really,
4 I know the staff have put their heart and soul
5 into improving the Transportation Forecast over
6 the last several years. I think we were in
7 transportation electrification where we are in
8 the building electrification today about five
9 years ago. And there is a lot of thinking that
10 the Transportation Team has done, you know, that
11 could widely be used in the forecasting today.

12 And also really looking to -- forward to
13 hearing from Mike and Anitha on the progress on
14 the demand scenarios. And I think that's an
15 integral part of what CEC is going to produce as
16 a library of products moving forward for the
17 broader policy considerations in the state.

18 So with that, I'm going to pass the mike
19 on to Commissioner Monahan.

20 COMMISSIONER MONAHAN: Well, I, too,
21 really enjoyed the conversation earlier today. I
22 hope we can continue with that level of discourse
23 just to kind of elevate, how do we, you know,
24 develop a new lexicon of terminology that really
25 fits across all the sectors so we don't have

1 these siloed disciplines anymore? And that's
2 what we're trying to achieve in the state of
3 California.

4 And I'm, you know, you guys have heard me
5 talk about it but I'm just going to say it again,
6 you know, the progress on transportation
7 electrification is truly global in nature and
8 it's unstoppable. And the question is just how
9 fast?

10 And what we're trying to do here in
11 California is create the right conditions for
12 transportation electrification to flourish. And
13 I think what we'll see in the Demand Forecast is
14 we've got more work to do to make sure that we
15 can accelerate progress. Because if we don't, I
16 mean, the climate is at stake to have global
17 warming emissions. And while technology is
18 making leaps and bounds of progress, and
19 particularly battery but fuel cell technology is
20 also evolving, we have this opportunity to
21 capitalize on it.

22 And I'm thrilled by this opportunity. I
23 feel like the new vehicles coming to market, like
24 the Ford F150 that allows us to charge our homes
25 when the power goes out, you know, we talk about

1 transportation electrification as a distributed
2 energy resource and now we're actually seeing the
3 products that will let us do that.

4 So looking forward to the presentations
5 this afternoon and to continuing to deepen sort
6 of our analytical work on transportation
7 electrification. I think as Vice Chair Gunda
8 mentioned is how do we move from these Demand
9 Forecasts into the policy realm, or how do we
10 integrate them?

11 And we have an analysis on charging needs
12 that's dictated by AB 2127 that says you, CEC,
13 analyze what charging needs are needed in order
14 to meet our state goals, which is a very
15 different question than what we're answering here
16 today.

17 And so, you know, this disconnect, I
18 think, between what the results of AB 2127 tells
19 and what the results of today's analysis, there's
20 room for improvement in ensuring that we have the
21 right policies in place to drive the market
22 transformation that we need.

23 So with that, I'll stop. Look forward
24 to --

25 COMMISSIONER MCALLISTER: Yeah. We have

1 these incredibly bodacious -- audacious cycles.
2 And you know, the forecast making is very
3 grounded in kind of where we have data, and
4 analytically, and kind of in that sense a little
5 conservative; right?

6 And so this idea of market transformation
7 taking off kind of rapidly is something that's
8 very difficult to include in a forecasting, and
9 so that's where we really get -- where, you know,
10 it would be nice to sort of take an endpoint and
11 see what type of initiatives would be necessary
12 to get to that endpoint, and maybe it was set by
13 policy, so kind of doing a scenario along those
14 lines. And you know, on the building side it's
15 3232, and all sorts of initiatives on the
16 transportation side.

17 So I agree, this is a really fertile
18 space to work with Staff and sort of figure out
19 what kinds of products the tools can be used for
20 and what they're most appropriate for; right?
21 Because that won't be all products.

22 So -- but really, yeah, it's great to
23 have this cross-Commission involvement in this
24 because it's so vital.

25 COMMISSIONER GUNDA: Yeah.

1 COMMISSIONER MCALLISTER: And I have
2 to -- I will just say, I have to leave around
3 3:30 or a little before so, unfortunately, I'll
4 miss that piece of it but will, obviously, watch
5 and get briefed later.

6 COMMISSIONER GUNDA: Yeah. Thank you,
7 Commissioner McAllister and Commissioner Monahan.

8 I think, you know, just adding or just
9 kind of emphasizing this for myself, I think an
10 important element has been, you know, the
11 reasonableness of the forecast and how can we use
12 those products for, you know, the transmission
13 planning, and then the potential rate impacts?
14 And how do you ensure that we provide that for
15 the benefit of infrastructure buildout?

16 But then you have this broader question
17 as, Commissioner Monahan, you and Commissioner
18 McAllister are pointing out, which is, you know,
19 the market transformation needs to occur and we
20 need to understand the gap, and we need to
21 understand, you know, what levers we have to pull
22 and the policy translation required from these
23 products. And I think you would -- I mean, at
24 least from my advantage point, the demand
25 scenarios is getting at that, the demand

1 scenarios work. And I'd love to hear your
2 feedback today as we go through this.

3 With that, I'll pass it to Heather to
4 kick off the presentations.

5 MS. RAITT: Great. Thank you,
6 Commissioners.

7 So, yes, we'll start out this afternoon
8 with the Transportation Energy Demand Forecast.
9 And we have three presentations from Energy
10 Commission Staff, so we'll hear from Aniss
11 Bahreinian, Jesse Gage, and then Bob McBride.
12 And then after we've all the three presentations,
13 we have a little bit of time for discussion with
14 the dais with the presenters.

15 So first, go ahead, Aniss Bahreinian.
16 She is the Senior Transportation Forecaster for
17 the Energy Commission, and so go ahead, Aniss.
18 And just a reminder, if you could say next slide,
19 so we know when to advance your slides for you?

20 MR. BEHREINIAN: Sure. Good afternoon,
21 Commissioners, stakeholders. My name is Aniss
22 Bahreinian and I work in the Transportation
23 Energy Forecasting Unit. And I will be
24 presenting the total transportation energy demand
25 today.

1 Next slide, please.

2 As Heidi Javanbakht showed this morning
3 the general outlines of our scenarios and showed
4 energy rate, in transportation we have multiple
5 fuel types, as many of you know, and multiple
6 fuel prices are being used. Notice here that our
7 Transportation Electricity Forecast is integrated
8 into Total Electricity Demand Forecast and,
9 therefore, we should be using the same inputs as
10 the Demand Forecasting Unit does. That is why
11 our population and income are exactly the same as
12 what is used in the Demand Forecasting Unit for
13 consistency.

14 But if you look at the two columns on the
15 left, you will see that we have two sets of
16 prices. And each set, actually, has multiple
17 prices. We have petroleum fuel prices that
18 includes gasoline, diesel, E85, and jet fuel.
19 And then on the righthand side we have
20 electricity, natural gas, and hydrogen prices.
21 We are grouping it into these two categories.

22 And for the high demand case, what we do,
23 we use the high income and the high population
24 but, also, we are using the high petroleum fuel
25 prices, that is high gasoline, diesel, and E85

1 and jet fuel prices, and combine that with low
2 electricity and hydrogen prices. The reason for
3 that is that we want to generate the maximum ZEV
4 Forecast so that it provides us with highest
5 Transportation Electricity Demand Forecast so
6 that it is integrated into the total Electricity
7 Demand Forecast in the high case.

8 In the low demand case, we do the
9 opposite of that. We are combining the low
10 population and income with low petroleum fuels
11 prices. The lower are the petroleum fuel prices,
12 then the lower will be the demand for electricity
13 because there will be fewer electric vehicles on
14 the road, and we combine that with high
15 electricity and hydrogen prices.

16 Why do we do this? Because they're a
17 substitution. And our models, particularly the
18 light-duty vehicle demand models, they represent
19 about seven fuel types and electricity is only
20 one of those seven fuel types. And the model
21 accounts for substitution between different fuel
22 types.

23 So Commissioner Monahan promptly noted
24 the substitution and the similarities between
25 additional advanced fuel substitution and what we

1 are doing in transportation. The models are
2 designed to capture the substitutions between
3 different fuel types, including fossil fuels, but
4 it also accounts for the substitution between
5 different ZEV fuel types. If you have a consumer
6 who has higher preferences and buys an electric
7 vehicle, that means that that consumer is not
8 buying an FCV (phonetic), and not buying a diesel
9 vehicle or a gasoline vehicle. There is
10 substitution that is working here and we are
11 accounting for all of that substitution.

12 So the transportation energy demand cases
13 are designed around transportation electricity
14 demand. However, we are accounting for and we
15 are forecasting all of the different fuel types
16 as you can see in the appendix. We are also
17 forecasting all of the different fuel type prices
18 as, again, you can see in the appendix.

19 Next, please.

20 We're going to start by looking at 2020,
21 where we are right now. These two graphs are
22 showing the distribution of transportation energy
23 by sector and by fuel type. You can see on the
24 graph in the left-hand side, distribution by
25 sector, that about 65 percent of transportation

1 energy is used by light-duty vehicles in 2020.
2 That is followed by 16 percent for medium- and
3 heavy-duty vehicles, and about 14 percent by
4 aviation.

5 When you look at the graphs on the
6 righthand side you will see that very consistent
7 with the light-duty vehicles. Since light-duty
8 vehicles mostly are using gasoline, we could see
9 that gasoline consumption is also about 65
10 percent of total transportation fuels, followed
11 again by diesel, which is used by medium- and
12 heavy-duty vehicles, and jet fuel which is used
13 for aviation.

14 The little pie chart on the right shows
15 the electricity. And as you can see, electricity
16 in 2020 has about half a percent of total
17 transportation energy. But if you move to the
18 next slide, please, we can see the changes
19 between 2020 and 2035. I only picked three of
20 the sectors, light-duty vehicles, medium- and
21 heavy-duty vehicles, and rail. In the other
22 picture, you also saw the -- in the previous
23 graph, you also saw off-road and aviation. But
24 in these two graphs we are just focusing on these
25 three sectors.

1 In 2020, as you can see on the graph on
2 the left-hand side, we had about 13.5 billion GGE
3 -- and we have converted everything, by the way,
4 to GGE so that we could put them next to each
5 other -- is used by LDV. And, clearly, you can
6 see that gasoline is dominating the light-duty
7 vehicles. Diesel, on the other hand, is
8 dominating the medium- and heavy-duty vehicles.
9 And you can see that both in 2020 and in 2035,
10 that is the case.

11 So by 2035 in the high case, we can see,
12 still, gasoline is dominating light-duty vehicles
13 and diesel is dominating medium- and heavy-duty
14 vehicles. And, of course, there is rail that is
15 using only diesel.

16 But if you note on the graph on the
17 righthand side, you can clearly see that the role
18 of diesel is declining in light-duty vehicles.
19 And the scales look the same but if you pay
20 attention to the numbers you are going to see
21 that there is actually a decline in gasoline
22 consumption for LDVs and, at the same time, there
23 is an increase in electricity demand for light-
24 duty vehicles.

25 You can see the same behavior for medium-

1 and heavy-duty vehicles. You can see a little
2 bit more electricity in the medium- and heavy-
3 duty sector, and you can see that gasoline demand
4 is going down, although diesel seems to be steady
5 there.

6 When it comes to rail, rail is growing.
7 And notice that the electricity that is shown
8 here for rail includes what is used for light
9 rail, as well as heavy rail. And, of course, it
10 also includes, in 2035 at last, it is including
11 the high-speed rail, as well.

12 If you can move to the next graph,
13 please?

14 So what we see here is actually
15 responding to what Commissioner Monahan pointed
16 out in the morning, that higher electrification
17 does lower the energy intensity of
18 transportation.

19 On the graph on the left-hand side we
20 will see total transportation energy demand in
21 Btu which shows, more or less, steady, although
22 if you look at the high case, which is the green
23 line to the top, you could see a small decline in
24 total transportation energy measured in Btu.

25 But if you look at the graph on the

1 righthand side you can clearly see that there is
2 a decline in energy intensity of a mile traveled,
3 which is mostly due to higher electrification, as
4 pointed out this morning by Commissioner Monahan,
5 but it also improves fuel economy.

6 Now this is happening because at the same
7 time that transportation energy demand is
8 remaining, more or less, steady in terms of Btu,
9 the total VMT, as will be shown later in the
10 presentation by my colleague Bob McBride, total
11 VMT is increasing, which is why we are seeing the
12 decline in transportation energy per mile or
13 energy intensity of a mile traveled.

14 Next slide, please.

15 This graph shows Total Transportation
16 Electricity Demand Forecast. Again, it includes
17 light-duty vehicles. It includes medium- and
18 heavy-duty vehicles. It includes light rail. It
19 includes heavy rail. It includes, also, the
20 high-speed rail. So when we are looking at total
21 transportation electricity demand we can see that
22 it is increasing from about 5,000 gigawatt hours
23 in 2021 to a minimum of 20,000 gigawatt hours in
24 2035, in the low case, and it can go as high as
25 45,000 or 47,000 gigawatt hours in 2035 in the

1 high case.

2 So there is actually an equivalent of a
3 fourfold increase even in the low case. And it
4 is about ninefold increase in the high case. So
5 clearly, we can see that electricity is gaining
6 grounds in transportation energy in California.

7 If you can move to the next slide,
8 please?

9 Now this is hydrogen. And what we should
10 point out, that our transportation hydrogen
11 demand is only reflecting hydrogen for light-duty
12 vehicles and for medium- and heavy-duty vehicles.

13 We know, for instance, that in Germany,
14 they are about to, or perhaps they have already
15 started, operating hydrogen rail. And we also
16 know that airbus is increasingly confident about
17 their hydrogen planes to be coming to the market
18 in about 2035.

19 But in our Transportation Hydrogen Demand
20 Forecast, we do not include anything for rail
21 or -- for rail or for aviation in California yet.
22 Maybe next year we will do that but not in this
23 forecast. So it is only representing Hydrogen
24 Demand Forecast, including light-duty vehicles,
25 as well as medium- and heavy-duty vehicles.

1 You can see that even in the low case, we
2 are seeing some increase from about 2 million
3 kilograms of hydrogen to about 20 million
4 kilogram of hydrogen in the low case. And in the
5 high case it is moving from, again, 2 million in
6 about 2021 to about 190 million kilogram of
7 hydrogen in 2035. So there is an increase. It
8 is not as much as we have in electricity but,
9 still, we are seeing growth in hydrogen demand in
10 California.

11 If you can move to the next one?

12 And this graph is showing Transportation
13 Natural Gas Demand Forecast. And if you note
14 here, transportation natural gas demand continues
15 to grow to 2025, and after that it starts going
16 down. Again, it is the substitution at work
17 here. The reason for the decline that we see in
18 the later part of the forecast is that these
19 are -- EVs are increasingly replacing natural
20 gas, both in public transit, but also in refuse
21 trucks and elsewhere.

22 So transportation natural gas, we don't
23 use it in light-duty vehicle at all. It is all
24 medium- and heavy-duty vehicles, whether they are
25 buses or trucks, we are only seeing it there. So

1 for the first few years, through 2025, we see
2 that the force of economic growth pushes
3 transportation natural gas demand higher. But
4 after that, it starts declining again due to the
5 substitution that takes place between different
6 fuel types.

7 Please note that all of our
8 Transportation Energy Demand Forecasts, they
9 only -- they do not include fuel use by military.
10 It also doesn't reflect fuel use for marine
11 movement. So those two sectors are excluded from
12 our forecast. So anyone who is looking at this
13 and is planning to use them, please keep that in
14 mind, that we do not include military and we do
15 not include marine movement in our
16 transportation, not yet anyway, maybe later on.
17 But we do include all of the government vehicles
18 whether they are local, state, or federal that
19 are on the roads in California, but those are
20 usually civilian forces, not military.

21 If you can move to the next slide,
22 please?

23 I'm presenting this Transportation Energy
24 Demand Forecast but we really have a very strong
25 team of forecasters who are generating these

1 different forecasts in different sectors and for
2 different purposes, whether it is fuel prices
3 that are generated by Ysbrand van der Werf. Mark
4 Palmere and Elizabeth Pham worked on attributes.
5 And at the same time, they also worked on light-
6 duty vehicles. Bob McBride and Alex Lonsdale
7 worked on medium- and heavy-duty vehicles, as
8 well as EV load shape. And Jesse Gage is our
9 leading expert on DMV data but he also, in this
10 year, he also generated a lot of the LDV
11 forecast. And I am just one of those.

12 Thank you very much. And if you have any
13 questions, I'll be happy to answer it now or
14 later.

15 MS. RAITT: Great. Thank you so much,
16 Aniss.

17 So next up is Jesse Gage.

18 Go ahead, Jesse.

19 MR. GAGE: Thank you, Heather.

20 As Heather has mentioned, I'll be
21 covering the light-duty stock portion of our
22 Transportation Forecast with a focus on zero-
23 emission vehicles. We'll start with a very quick
24 overview of the various scenarios as we're
25 looking at the ZEV forecast as a whole and seeing

1 how it stacks up with official policy. Then we
2 will break it down by fuel type.

3 Unfortunately, I won't have time to cover
4 anything but the top-level results here, thus
5 some additional supplies slides on vehicle
6 classes and battery classes have been relegated
7 to an appendix which can be seen at the end of
8 the main deck if you download the PowerPoint.

9 Those of you who have followed our
10 Transportation Forecast over the year have seen
11 Aniss present this overview of our inputs
12 probably nine, ten times over the years, so I'll
13 spare you the gory details this time.

14 But briefly, our three core scenarios,
15 the low, the mid, the high, and our two, shall we
16 say, what-ifs, the aggressive and bookend, cater
17 to increased adoption of the zero-emission
18 vehicles through greater customer acceptance and
19 preference for ZEVs, increased incentives, both
20 in dollar amount and availability, and
21 advancements in technology favorable to ZEVs, in
22 particular, battery price and vehicle range.

23 Note that the core scenarios are what go
24 into the overall Electricity Forecast. The
25 aggressive and the bookend, they're sort of an

1 extra thing.

2 Next slide, please.

3 So let's start with overall ZEV stock
4 which, in the core scenarios, range from 3.1
5 million in our low scenario to 8.3 million in our
6 high case in 2035, with the mid scenario at 5.4
7 million. The year-over-year growth is
8 approximately 9.5 percent, 14 percent, and 17
9 percent in the low, mid, and high scenarios,
10 respectively. Meanwhile, the aggressive scenario
11 reaches about 12.5 million in 2035. And the
12 bookend ends just shy of 13 million.

13 Next slide, please.

14 So how do these scenarios stack up
15 against the various policy bills over the years?

16 As a refresher, there are three major
17 executive orders looking to shape zero-emission
18 vehicle sales. Former Governor Jerry Brown
19 signed Executive Order B-16-2021 in 2016 which
20 called for 1.5 million ZEVs on the road by 2025.
21 Governor Brown then set a significantly more
22 ambitious goal two years later, this time
23 targeting 5 million ZEVs by 2030 as part of
24 Executive Order B-48-18.

25 Most recently, under our current Governor

1 Gavin Newsom pulled out the big gun, Executive
2 Order N-79-20 with the goal of eliminating light-
3 duty internal combustion engine sales entirely by
4 2035. Now that executive order doesn't come with
5 a hard target of how many ZEVs need to be sold by
6 the end. But just in case 5 million wasn't
7 ambitious enough for you, ARB's Mobile Source
8 Strategy suggests we'll have 7.8 million ZEVs by
9 2030 if we're to meet that executive order. And
10 we've also seen 13 million by 2035 bantered about
11 as a target.

12 In this table, we have total ZEV for our
13 five scenarios at these policy milestones. The
14 first row, 1.5 million by 2025 is, at this point,
15 frankly, pretty hard to miss, almost a formality.
16 And even our low case hits the mark. And that's
17 borne out by current data. According to our ZEVs
18 stats data portal, and if you don't know what
19 this portal is, please see me after class, there
20 were about 630,000 ZEVs on the road at the end of
21 2020. And we're on track for a quarter million
22 ZEVs sold this year. So even if there was zero
23 growth in sales, we'd still hit over 100 -- 1.5
24 million in four years.

25 Five million ZEVs by 2030, however,

1 that's a taller order. And we see here that
2 business-as-usual isn't going to get us there.
3 That said, it's not completely unthinkable as
4 long as we're willing to increase our efforts to
5 increase ZEV adoption. Otherwise, this goal
6 could be delayed by five years, or even longer,
7 if things start to slack.

8 As for 8 million in 2030, 13 million in
9 2035, that's a lot. Even our bookend case falls
10 a little short here, suggesting that we need a
11 significant change in how we do business to even
12 come close.

13 Next slide, please.

14 As we start to break down the ZEV
15 Forecast by fuel, the forecast scenarios for
16 battery electrics do not terribly dissimilar from
17 total stock at first glance. The core scenarios
18 see a range of just under 2 million to 5.5
19 million by 2035. And the aggressive and bookend
20 cases are neck and neck at about 10 million each.
21 The average year-over-year growth is slightly
22 higher than the total ZEV stock in each scenario.

23 Next slide.

24 The Plug-in Hybrid Forecast is where we
25 start seeing large diversions from the forecast

1 as a whole. Uptake of PHEVs is nowhere near as
2 robust as with BEVs in any scenario. And, in
3 fact, the bookend and aggressive scenarios have
4 fewer PHEVs than the high case. This is due to
5 PHEVs being outcompeted by BEVs due to lower
6 battery costs, higher range, and greater
7 incentives.

8 Next slide, please.

9 For the last piece of ZEV stock picture,
10 the forecast for hydrogen fuel cell electric
11 vehicles are -- they're sensitive beasts. At the
12 present time there are only two FCEVs on the new
13 car market, Toyota's Mirai and Hyundai's Nexo
14 with the Honda Clarity Fuel Cell being
15 discontinued last year. This is not terribly
16 great for encouraging adoption of FCEVs. And
17 getting this segment up to speed is going to
18 require manufactures to step up and develop more
19 models in the light-duty segment. And so far,
20 automakers, especially in Europe and America, are
21 not keen to bite.

22 Our forecasts range from 100,000 to
23 450,000 FCEVs by 2035 with the bookend scenario,
24 in particular, assuming greater availability of
25 FCEVs across the market segments.

1 Next slide, please.

2 Finally, I wanted to stack these
3 forecasts together to get the relative market
4 share of ZEV and PHEV technologies. Increasingly
5 favorable range and battery prices throughout our
6 scenarios will ensure that battery electrics
7 solidly outsell PHEVs regardless, as they are
8 doing now, but this is amplified in the
9 aggressive and bookend cases with their much
10 lower battery prices. Meanwhile, the FCEV market
11 will remain rather niche, barring significant
12 changes at the manufacturer end and consumer
13 levels, as I had mentioned.

14 And with that, that's all I've got, and I
15 can hand it over to Bob.

16 MS. RAITT: Thanks Jesse.

17 So, Bob, if you wanted to go ahead and
18 present on rate? Thanks.

19 MR. MCBRIDE: Here I am. Can you hear
20 me?

21 MS. RAITT: Yes. Thanks.

22 MR. MCBRIDE: Yeah.

23 MS. RAITT: Go ahead.

24 MR. MCBRIDE: Okay. Scroll back. Hi.

25 Good afternoon, Commissioners, stakeholders,

1 fellow staff, colleagues from our sibling
2 agencies. I'm Bob McBride and I lead the Medium-
3 and Heavy-Duty Vehicle Energy Demand forecasting,
4 the topic of this presentation.

5 Next slide, please.

6 Today, I'll talk about work to improve
7 our identification of truck, bus, and motorhome
8 body types, just so we can assign vehicles to the
9 right classes. Changes to the Air Resources
10 Board Hybrid and Zero-Emission Truck and Bus
11 Voucher Incentive Program, which we will now call
12 HVIP, a summary of key inputs and assumptions for
13 the truck choice forecast, a closer look at the
14 market penetration for ZEVs and NZEVs among the
15 drayage trucks. We'll look at new trucks
16 purchased overall and, again, at ZEV and NZEV and
17 internal combustion vehicle stock forecasts.

18 Two glossary terms here. ZEVs, for
19 purposes of this presentation, include battery-
20 electric vehicles and hydrogen fuel cell electric
21 vehicles. And I refer to plug-in hybrids
22 interchangeably as PHEV and NZEV, or near ZEV.
23 Last, a peak at total energy use and vehicle
24 miles. Other forecast components, like growth
25 and goods movement and the economy in general,

1 are handled using the same methods are recent
2 IEPR forecasts.

3 One note. The assumptions built into
4 light-duty vehicle choice and truck choice are
5 slightly different. In the medium- and heavy-
6 duty side we have a regulation, Advance Clean
7 Trucks, which we bake in compliance through 2035
8 in all three cases, so that's slightly different.

9 Next slide, please.

10 In February, CARB released a new Emission
11 Factors Model, EMFAC 2021, and associated web
12 database that changed how trucks are classified.
13 The weight classes were broken out in more detail
14 and some new categories introduced to capture
15 improved assessments of drive cycles over the
16 current -- over the previous classes.

17 Also, we now have access to the Data One
18 VIN decoding table data, which is proprietary
19 data we purchased. We're showing truck-related
20 body types here, but bus and motorhome body types
21 are also covered in all three sources. We mapped
22 body types to the EMFAC categories and fuel types
23 to the DMV data. We've cleared out more unknown
24 and ambiguous body types.

25 Next slide, please.

1 The HVIP Program simplified their system
2 for setting up voucher amounts. Yay. Easier for
3 us. So now all trucks and buses in a given
4 weight class receive the same amount up to
5 \$120,000 for Class 8 and less for lighter
6 vehicles. One exception is port drayage trucks
7 targeted to be 100 percent ZEV rolling stock by
8 2035 in the proposed Advanced Clean Fleets
9 regulation. These will receive \$150,000.

10 We're holding the flat rates constant to
11 2024, then reducing the voucher amounts in two
12 ways thereafter. First, after 2024, vouchers are
13 assumed to start from 65 percent of the 2021
14 amount for all of our cases, low, mid, and high.
15 Second, we scaled the ZEV of NZEV voucher amount,
16 even the -- this applies, also, to the Carl
17 Memorial grants for low NOx.

18 The amount in each class, according to
19 the trend in the incremental purchase prices
20 which is the price of the vehicle relative to
21 some default fuel, usually diesel for heavy-duty
22 and gasoline for medium-duty, we arrived at 65
23 percent as the lowest percentage, helping all
24 three cases have met compliance with the Advanced
25 Clean Trucks regulation.

1 Next slide, please.

2 Here's a high-level description of some
3 key inputs. We've baked in a number of
4 regulations, including Innovative Clean Transit,
5 Advanced Clean Trucks, the Zero-Emission Airport
6 Shuttle regulation, and the Regional Truck and
7 Bus regulations in the South Coast AQMD. The
8 HVIP incentive vouchers for ZEVs and NZEVs, or
9 PHEVs, and Carl Moyer Program grants for low NOx
10 are included.

11 Beyond what I described on the previous
12 slide, we made a simplifying assumption about
13 Carl Moyer Program grants for the low NOx drive
14 train (phonetic) since the grants depend on the
15 vehicle miles of the vehicles being retired, and
16 we haven't modeled that until now. Not so
17 simple.

18 Hydrogen pricing was forecasted by the
19 National Renewable Energy Lab based on runs from
20 a couple of their models using inputs our Unit is
21 provided. We're using electricity price
22 forecasts for commercial users developed in our
23 office for the California Electricity Demand
24 Forecast. Battery pack prices drives the lion's
25 share of decreases in the purchase price of

1 battery electric trucks, so we used a consultant,
2 ICF, to develop low, mid, and high trends in
3 battery pack prices.

4 The resulting trajectory is actually
5 really similar to our own internal Battery Pack
6 Price Forecast we did for light-duty vehicles but
7 with a five-year lag. The five-year lag is
8 evident in the pricing difference between models
9 of battery electric vehicles that have optional
10 larger battery packs offered today.

11 On a related note, to estimate hydrogen
12 fuel cell electric trucks purchase prices, we
13 used data from the ARB Advanced Clean Fleet's
14 discussion copy. We simplified vehicle fuel
15 economy to a single case based on EMFAC 2021
16 data. We found that using three cases for fuel
17 economy confounded the case-by-case trend in
18 market shares and fuel types and all the cases
19 crossed, and it's much clearer this way.

20 For this IEPR, we assumed that the range
21 of battery electric trucks does not preclude
22 applications in longer drive cycles. The truck
23 classes adopting battery electric trucks early in
24 the forecast tend to be depot-based fleets that
25 will have access to overnight charging. The

1 exception here is drayage trucks are assumed to
2 first populate the shorter drive cycles. Later
3 in the forecast we assume available charging away
4 from depots at railyards and warehouses.

5 Next slide, please.

6 Now we turn to the forecast results.

7 Next slide.

8 We can't get away in any forecast without
9 one crazy graph, so here we are. The choice
10 model produced this pattern of ZEV and NZEV
11 adoption across the three cases. Until 2030,
12 battery electric adoption is about two years
13 ahead.

14 Oh, and by the way, the solid line is the
15 mid case. The big dashes are the low -- the high
16 case. It doesn't show up so well in the legend.
17 And the short, dashed lines are the low case.
18 Red is electric, blue is hydrogen, black is PHEV
19 diesel, which we have.

20 Until 2030, battery electric adoption is
21 about two years ahead of hydrogen fuel cell
22 electric, reflecting the earlier availability of
23 these trucks. After 2030 the PHEV climbs to
24 about 20 percent share, gradually, which reduces
25 the market share of both the battery electric and

1 the hydrogen fuel cell electric in that period.
2 Since we're looking at two different plug-in
3 types and both show a significant gap between low
4 and high case market penetration, the range of
5 expected charging demand will also be
6 significant.

7 I've lost my video but I can still
8 continue as long as I'm being heard, so I will.

9 So next slide, please. I'll assume we're
10 on slide eight unless somebody speaks up, so I'm
11 sort of flying blind but I think we can do this.

12 Vehicle miles traveled --

13 MS. RAITT: It says, "Truck and Total
14 MD." Sorry.

15 MR. MCBRIDE: What's that?

16 MS. RAITT: I'm sorry.

17 MR. MCBRIDE: So you --

18 MS. RAITT: I was just going to tell
19 you --

20 MR. MCBRIDE: The --

21 MS. RAITT: -- I was going to tell you,
22 it says, "Truck and Total MD-Heavy Duty Miles --
23 Vehicle Miles."

24 MR. MCBRIDE: Yes, so slide eight.

25 MS. RAITT: I'm sorry to interrupt. Go

1 ahead.

2 MR. MCBRIDE: Yes. No, that's good.

3 Thanks.

4 Vehicle miles traveled, they're VMTs,
5 through the indicator of fuel use, here we show
6 truck VMT with dashed line between 21.8 and 22.3
7 billion this year, and the total for medium and
8 heavy VMT includes buses and motorhomes, and the
9 solid lines at about 23 to 23.5 billion this
10 year. Demand for goods movement and general
11 services drives growth and VMT in the trucks, and
12 just the growth in the economy drives motorhomes
13 and buses, variation between cases arises from
14 differences in our econ demo dataset. There, I
15 got my video back. Yay. We expect somewhere
16 between 14 percent and 30 percent higher VMT in
17 2035 compared to 2021.

18 So next slide, please. Thank you.

19 To satisfy the demand for VMT, new trucks
20 are purchased and used trucks imported at the
21 same time older times retire and leave
22 California. This is also true for buses and
23 motorhomes. I don't know about the used
24 motorhomes being imported but I do know about the
25 trucks.

1 In 2021 we have been about 930,000 or
2 940,000 trucks and about 1.1 million total medium
3 and heavy vehicles. By 2035, between 1.2 million
4 and 1.36 million trucks, and 1.37 million and
5 1.51 million total medium and heavy vehicles are
6 expected on California roads.

7 Next slide, please.

8 In 2021 we estimate 21,000 to 26,000 new
9 trucks will be purchased, rising to between
10 52,000 and 64,000 as approach 2035. Before 2024
11 the number of new trucks purchased is clearly
12 lower than would seem normal considering the
13 annual VMT at normal retirements.

14 But driving the shortfall is the CARB
15 truck rules requiring trucks -- statewide truck
16 rules requiring trucks without diesel particulate
17 filters and selective catalytic reduction to
18 retire or leave the state by 2023.

19 In anticipation of this requirement,
20 fleets are importing trucks built since 2010 that
21 have the required equipment. Larger interstate
22 fleets will tend to rotate newer trucks into the
23 state and older ones out. The smaller pool of
24 new trucks purchased, given the market share,
25 will slow the transition to ZEV somewhat in the

1 next couple of years. But the ZEVs and the
2 NZEVs, PHEVs purchased before 2024 will enjoy a
3 bonus increment to the Advanced Clean Truck
4 Credits they earn, so that should counteract the
5 used truck phenomenon somewhat.

6 Next slide, please.

7 Here we see two cases, the mid and high,
8 for the on-road stock of ZEV and NZEV truck and
9 buses stock throughout time. I said stock twice,
10 yes. The earlier introduction of battery
11 electric models and the fact that we do not yet
12 see hydrogen fuel cell electric in as many truck
13 classes together point to a huge numerical
14 advantage to the battery electric, as you can
15 see. But recall that the share of battery
16 electric and hydrogen fuel cell electric drayage
17 trucks is anticipated to be roughly equal around
18 2035, so dilemma.

19 Also note that about half the fuel
20 consumed by trucks is in the tractor-trailer or
21 semi-tractor classes, it's the same two terms for
22 the same thing, the big trucks, so the 18-
23 wheelers, well, so while medium duty trucks and
24 heavy-duty straight trucks go primarily to
25 battery electric, the semi-tractors are more

1 evenly divided between battery and hydrogen
2 electric.

3 Finally, note that the gap between the
4 mid and high cases for battery electric is much
5 smaller than the same gap for hydrogen fuel cell
6 electric, so this is 2035, the right side. While
7 the total number of ZEV trucks increases
8 significantly in the high case over mid, the gap
9 between mid and high case for battery electric is
10 far smaller. Even though battery electric has
11 more favorable conditions in the high case than
12 it does in the mid case, the competition from
13 hydrogen is stronger in the high case.

14 Slide 12. Next slide, please. Goodie.

15 Here we see the total of internal
16 combustion truck stock, incl gasoline, diesel,
17 natural gas, propane, and both gasoline and
18 diesel hybrids. Numbers rise through 2026 between
19 three and nine percent depending on the case.
20 From 2027 to 2031 the internal combustion trucks
21 counts are fairly flat, despite the growth in the
22 demand for VMT and rising total truck stock.
23 After 2031, we expect the ICE truck counts to
24 decline due to retirement and the increasing
25 shares for ZEVs and NZEVs.

1 If you could please go back to slide
2 eight for a minute? Is that eight? I guess.
3 Here's a -- I think it's a little -- maybe it's
4 farther back. The numbers may have changed.
5 What we want is the total stock. Well, that's
6 all right. Let's just leave that be. There it
7 is.

8 So we see a reminder of the growth in
9 total medium and heavy-duty stock, so plant those
10 slopes in your mind.

11 Now go to slide 13, or the next one from
12 where we were. Yeah, there we go.

13 Overall, energy consumption in medium and
14 heavy vehicles declines to 2035. Two factors
15 drive this.

16 First, internal combustion engines become
17 more efficient, at least through 2027, due to the
18 NHTSA EPA Phase 2 Fuel and GHG Standards which
19 were still in place.

20 Second, the ZEV and NZEV fuel types
21 appearing later in the forecast appearing later
22 in the forecast are considerably more efficient,
23 even before we consider carbon intensity of
24 fuels. This decline means it will progress
25 towards GHG goals simply on the basis of total

1 energy consumption, not of actually the carbon
2 intensity of the fuels involved, which is the
3 major improvement.

4 Slide 14. Next slide, please. Sorry.
5 And your numbers are different, so I should stop
6 doing that.

7 We're calling battery electric plus
8 hydrogen fuel cell electric VMT here the clean
9 miles. For this slide, we don't include the
10 portion of all electric miles for the PHEVs just
11 because it's a little problematic to do that.
12 The metric was suggested by a focus group of
13 stakeholders in an Air Resources Board project,
14 so we thought we'd provide these trends, the data
15 is close at hand. We anticipate medium and
16 heavy-duty clean miles reaching between 4.5 and 7
17 billion by 2035.

18 Next slide, please.

19 Thank you for your kind attention. This
20 work is expanded in scope over the last few
21 years. Since -- with the help of Alex Lonsdale,
22 we've increased our capability as a team, also
23 significant assistance from Jesse Gage in the
24 Truck Classification Department.

25 And with that, I don't know who we hand

1 it over to.

2 MS. RAITT: Thanks Bob. So, yeah, we
3 have some time for conversation with the
4 Commissioner.

5 COMMISSIONER GUNDA: Yeah. Commissioner
6 McAllister, were you going to speak? Please.
7 You're muted, I believe.

8 MS. RAITT: Commissioner McAllister, I
9 think you were double muted and now you're
10 just -- your computer might be muted, so -- oh,
11 you're still double muted. Oh, well. Sorry.

12 COMMISSIONER GUNDA: All right. We're
13 going to get started, Commissioner, and then
14 maybe you can chime in?

15 So, yeah, I mean, how about we just pass
16 it to Commissioner Monahan first and kind of get
17 her thoughts?

18 COMMISSIONER MONAHAN: Well, thanks,
19 Aniss, Bob, Jesse, and the whole team. Heidi, I
20 know, has done a lot of work before she left, and
21 now Quintin is helping with this work, and it
22 really has evolved with time. And I just
23 appreciate the syncing that's gone on with the
24 entire team of folks working on this issue.

25 I do have some questions. And Aniss, I

1 hope you can come back on because there were
2 some -- this is the first time I've seen -- and
3 I'm sorry, my dog is just -- I've been trying to
4 get her to stop barking and she just loves to
5 bark right when meetings start. But the slide on
6 the actual energy use in the 2035 high case, it's
7 hard to read because I think the scale is so
8 small for electricity. I was actually surprised
9 that the scale was so small for electricity and
10 I'm trying to figure out why that is on the light
11 duty front.

12 You know, it looked like in the high case
13 we were talking, I think it was 12 million. Is
14 that right, Jesse, 12 million by 2035 on the
15 light duty?

16 MR. GAGE: Somewhere around there.

17 COMMISSIONER MONAHAN: Somewhere
18 thereabouts. Thereabouts. So 12 million, right.
19 We currently have about 30 million light duty
20 vehicles.

21 MR. GAGE: Yeah. That was the aggressive
22 bookend. I think that --

23 MR. MCBRIDE: I think 19 for the high.

24 MR. GAGE: -- the high case was about

25 8 --

1 COMMISSIONER MONAHAN: Eight million?

2 MR. GAGE: -- 8 million.

3 COMMISSIONER MONAHAN: Oh, maybe it was 8
4 million. So right now we have about 30 million
5 passenger vehicles. I didn't see a slide. And
6 Jesse, maybe you just know this. What is the --
7 are we like -- you know, there's some that have
8 said we have saturated the passenger vehicle
9 market. There's other that are indicating, well,
10 no, there's still room for growth. What does our
11 model say in terms of 2035, like what's the
12 passenger vehicle fleet in 2035? So what share
13 would 8 million vehicles be of the 20?

14 MR. GAGE: Well, if I may consult my
15 crystal spreadsheet here? We have a table. Give
16 me a second here.

17 COMMISSIONER MONAHAN: Um-hmm. Take your
18 time.

19 COMMISSIONER GUNDA: There is a slide
20 that shows bar charts with the percentages.
21 Would that be helpful to bring up, Jesse?

22 MR. GAGE: No, that was a stacked chart
23 of just the ZEVs themselves.

24 COMMISSIONER MONAHAN: Yeah, those are
25 the ZEVs. So, well, but anyway, my point is, and

1 maybe we could talk, we could think about this at
2 a later point, too, is that -- and it's hard to
3 tell from the scale. But if, you know, 8
4 million, if it were the current fleet, that would
5 be, you know, like --

6 MR. GAGE: That's out of a predicted --

7 COMMISSIONER MONAHAN: -- more than a
8 third -- a little less than a third of the whole
9 fleet. And so if a third-ish, maybe 25 percent,
10 of the fleet went to battery electric vehicles,
11 it seems like the energy would be higher than
12 what was showing up on that graph. That's what
13 surprised me, that it was so low, but it's hard
14 to tell because the graph -- I'm just looking at
15 the graph on the screen and it's hard to tell,
16 actually, what the value is --

17 MR. GAGE: Yeah.

18 COMMISSIONER MONAHAN: -- on that --

19 MR. GAGE: It's 8 million --

20 COMMISSIONER MONAHAN: --

21 (indiscernible).

22 MR. GAGE: -- 8 million out of 38
23 million.

24 COMMISSIONER MONAHAN: Out of 38 million?

25 Okay. All right. So you can look at, you know,

1 25-ish percent. But that means that we should be
2 seeing the 25 percent-ish switch from diesel to
3 electric. So it's just something, maybe, we
4 could -- we could talk about this offline just so
5 I can understand how the numbers align.

6 Sometimes it can be hard to tell when
7 you're looking at just a graph on a computer, but
8 it did seem like the wedges were pretty tiny for
9 electricity and I was like, why are they so tiny
10 in 2035 in the high case? It seems like they
11 should be higher than that.

12 Of course, as we talk about it, EVs are
13 more efficient, so it's about a third less
14 energy -- I mean two-thirds less energy compared
15 to gasoline and maybe that why. But maybe
16 there's some way we could demonstrate in a graph
17 like what would be the energy use in the high
18 case if those vehicles were, instead, just
19 internal combustion. I think that would give us
20 a visual for what the actual like shift is away
21 from diesel -- I mean away from gasoline and
22 diesel towards electric.

23 MS. BAHREINIAN: I think you're referring
24 to the petroleum reduction as a result of
25 adoption of electric vehicles. And we can come

1 up with some kind of back-of-the-envelope
2 computation for that. The model, currently,
3 doesn't have that as an output, but we can do
4 some kind of post processing and come up with a
5 number that would reflect what energy consumption
6 would have been if this was all petroleum, if
7 these were all ICE vehicles.

8 COMMISSIONER MONAHAN: Yeah, I think that
9 will -- because, otherwise, you look at these
10 charts and you're like, gosh, all this work and
11 we're barely making a dent, you know? So I think
12 I we are making a big dent, so let's figure out a
13 way to visualize that progress.

14 MS. BAHREINIAN: Sure.

15 COMMISSIONER MONAHAN: And I also had a
16 couple questions for you, Bob, around those
17 diesel PHEVs, which surprised me that they were
18 competing so well. They're very expensive.
19 PHEVs are expensive which is why, in the light
20 duty market, one would think they would go down,
21 and that's what we're seeing, because they're way
22 more expensive. And they actually take away some
23 of the benefits of the electric drive. Why is
24 that different in drayage? What makes drayage so
25 special?

1 MR. MCBRIDE: So I actually had the same
2 question last night and looked, drilled into the
3 model, which separates groups of trucks by bins
4 of vehicle miles. So there's one for zero to
5 20,000 miles, 20,000 to 40,000, and so on. And
6 when you get out in the 30,000s the cheapest
7 vehicle is actually hydrogen if they have that,
8 and then electric, and then the PHEV is the most
9 expensive. So they don't show up until the
10 highest mileage bin.

11 So if there's a drayage truck going
12 140,000 a year, they're going to have a higher
13 fraction of PHEVs because, one, I mean, that
14 ended up serendipitously because that means
15 they're a lot of miles per day, so there would be
16 charging issues, but PHEV gets around those as
17 well.

18 Yeah, I did -- they were not doing well
19 with any of the normal conception of vehicle
20 miles. You had to -- it was the set of ones that
21 went, say, over 60,000 to 80,000 miles a year and
22 up, they showed up there. Yeah, that was --
23 that's pretty interesting stuff.

24 And the caveat is we don't even have a
25 good -- we don't have any HVIP offerings of PHEV

1 trucks yet. There aren't really on the road, so
2 the estimate of what the fuel economy of those
3 things and what they're actually going to cost
4 are a little wonky, or I would expect them to be
5 a little wonky, so grain of salt. But --

6 COMMISSIONER MONAHAN: Yeah. I think --

7 MR. MCBRIDE: -- I think that the right
8 pattern.

9 COMMISSIONER MONAHAN: -- I think we
10 should take a grain of salt on that one,
11 actually, because it's counterintuitive.

12 MR. MCBRIDE: Yeah. I --

13 COMMISSIONER MONAHAN: I have a hard time
14 imagining why they would, and especially that
15 set.

16 MR. MCBRIDE: Yeah. Sure.

17 COMMISSIONER MONAHAN: So --

18 MR. MCBRIDE: If you think back where we
19 were, say four years ago, where we were seeing
20 battery electric succeed was in the same case,
21 the really high mileage vehicles.

22 COMMISSIONER MONAHAN: Yeah.

23 MR. MCBRIDE: So that's -- that much is
24 sensible. Whether the prices are realistic of
25 not, that's another question.

1 COMMISSIONER MONAHAN: Yeah.

2 MR. MCBRIDE: And nobody is going to be
3 able to answer that right away. Somebody has to
4 build a few of these things.

5 COMMISSIONER MONAHAN: Yeah. And, also,
6 we're in the state of, I mean, so much transition
7 happening on technology generally, battery tec.
8 I mean, I'd be surprised if we didn't see solid
9 state by 2028. So these, I'm just saying, I
10 mean, there's -- that there could be like some
11 game-stuff changer battery technologies around
12 the corner that could really change the equation
13 when it comes to the analysis that we do.

14 MR. MCBRIDE: Yeah, the solid-state
15 batteries and such.

16 COMMISSIONER MONAHAN: Yeah.

17 And also, I mean, when we look at what
18 Jesse's tracker shows, which it stays near and
19 dear to my heart, you know, we're in this phase
20 right now.

21 MR. GAGE: It's a team effort. It's a
22 team effort.

23 COMMISSIONER MONAHAN: All right. Well,
24 to the whole team, it's awesome and we're going
25 to keep building it out. But it shows more of

1 this, you know, this kind of curve rather than
2 what -- than this curve. And we'll see if we can
3 get a nonlinear. I mean, I think infrastructure
4 will be the biggest barrier to that.

5 I'm done with my questions. Vice Chair
6 Gunda or Commissioner McAllister?

7 COMMISSIONER GUNDA: Yes. Thanks
8 Commissioner. Just a couple of kind of high-
9 level questions.

10 So I think same kind of track of question
11 that we talked this morning, the large
12 infrastructure budget that we had, you know, kind
13 of how were we considering the impacts of the
14 kind of ZEV package that we had last year in kind
15 of the forecasting, I mean, like where are we
16 seeing those?

17 And then second thing is, you know, on
18 the electricity supply side, that the best
19 projects, especially the best projects, we are
20 talking about a large amount of global supply
21 change delays on the battery side. I just wanted
22 to get, you know, thoughts from the staff, if
23 you're tracking how the supply chain on either
24 the chips or, you know, potentially the battery
25 systems themselves could affect the overall dance

1 kind of good.

2 MR. MCBRIDE: I have a little bit of
3 information since I'm in the market for a used
4 truck, a used car for my daughter. They're
5 expected to be difficulties with the supply chain
6 into 2023 anyway, so that's a real issue. And
7 it's definitely still very strong. Used prices
8 have not come down. And that means that new cars
9 aren't available, but that's pretty anecdotal.

10 COMMISSIONER GUNDA: Go ahead, Aniss.

11 MS. BAHREINIAN: What -- sure. I think
12 it was during the -- it was an assumption that,
13 at that point, I was looking at the prices, and
14 used vehicle prices. And at that time, the
15 prices have gone up by about 45 percent, those
16 were the used prices. I don't know what it is
17 now. At that time I was looking at those prices.

18 But when we were generating the forecast,
19 for the most part the assumption was that supply
20 chain is a temporary phenomenon, and so the
21 prices that we have included are really prices
22 that are sort of ignoring these or they came out
23 before all of these. They don't necessarily
24 reflect it.

25 However, what I can say is that when it

1 comes to, definitely, when it comes to light duty
2 vehicles, what matters is the relative prices.
3 So even if all the prices of used vehicles and
4 all the new vehicle prices have gone up, if the
5 relative price of electricity -- electric
6 vehicles compared to gasoline vehicles remain the
7 same it doesn't have too much of an impact on our
8 forecast because of the way the model works.

9 So it is the relative prices that matter
10 more or the same as the absolute prices. If all
11 prices are going up by the same percentage, then
12 the relative prices would remain the same and it
13 wouldn't have too much of an impact in the choice
14 of the vehicles.

15 Now whether or not people are going to be
16 able to buy vehicles, that would depend on where
17 the prices are because if your income does not go
18 up but the price of the vehicle goes up, then the
19 number of vehicles sold on the market is going to
20 be going down.

21 So we haven't really incorporated the
22 supply chain impact on prices into the forecast.

23 COMMISSIONER GUNDA: Thank you. Thank
24 you, Aniss.

25 Again, I just want to take the

1 opportunity, Aniss, Jesse and Bob, and then
2 entire team, Alex, thanks so much for all the
3 work.

4 If I can have just one additional
5 question on the preferences?

6 When is the last time -- what's the
7 latest data on the preferences we have for the
8 light duty? I mean, I see that for the low side
9 we're using the consumer preferences from 2017.
10 And then for mid, high, aggressive, and bookend,
11 we increase that with the growth. I just wanted
12 to check in, you know, what's the latest vintage
13 of data we have on the preferences?

14 MS. BAHREINIAN: We don't -- I can share
15 that data with you later. But at the present
16 time, when we are keeping the preferences
17 constant, we are -- whether it is the new ones or
18 the old ones, we continue to keep them constant
19 for the low case, assuming that people are not
20 going to gain greater preferences for ZEVs. And
21 we only, as you know, you know very well, we
22 don't change that for other vehicles, only for
23 ZEVs. But in the high case the higher is the
24 market share. These vehicles preferences keep
25 growing with the market share.

1 COMMISSIONER GUNDA: So thank you. I
2 know we can dig into this a lot but, you know,
3 really nice to see the forecasting team
4 transportation going to get to talk to you one of
5 these days, so great.

6 MS. BAHREINIAN: (Indiscernible.)

7 COMMISSIONER GUNDA: To Commissioner
8 McAllister.

9 MR. COLDWELL: Hey, Vice Chair Gunda, can
10 I just -- I mean, part of your -- one of your
11 questions didn't -- wasn't addressed about the
12 infrastructure package and how that's reflected.

13 So, obviously, that's kind of an ongoing
14 effort and we don't have the exact details on
15 what that's going to look like yet. And I think
16 Commissioner Monahan actually asked us this same
17 question here pretty recently about if we plugged
18 in some of the -- like the incentive levels that
19 are being discussed at the federal level and to
20 our models, what would the effect be on the
21 forecast?

22 And I think, you know, once we have
23 better -- once we have some clarity on what those
24 incentive levels are, that is definitely
25 something that we can do. We can, you know, look

1 at those, plug those into the model and see what
2 happens, and we can certainly share that with you
3 offline. I jus wanted to make sure that that was
4 addressed.

5 COMMISSIONER GUNDA: Thank you, Matt.
6 Thank you now.

7 Oh, go ahead, Commissioner Monahan, just
8 quickly.

9 COMMISSIONER MONAHAN: Matt, I'm glad you
10 popped on. Thanks for jumping in.

11 MR. COLDWELL: Yeah.

12 COMMISSIONER MONAHAN: Yeah. I mean,
13 this is where we've reached the we-don't-know.
14 And we hired NREL to do some analysis for us and,
15 I mean, we don't know. I think that's the --
16 it's like you know it's a barrier, you know it's
17 a major barrier. But then quantifying what that
18 means for the market almost -- I mean, there's so
19 much speculative work that has to go into that
20 analysis. And this is where, as analysts we go,
21 oh, my god, this makes you crazy. How can we
22 analyze our airbags (phonetic) if we don't know
23 that? We do know how many charges wee need for a
24 certain number of vehicles; right? I mean, that
25 we can analyze. But then what's the impact on

1 this one charger in terms of driving the market?
2 It's beyond me. I don't know that and that pains
3 me.

4 COMMISSIONER GUNDA: Yeah. Absolutely,
5 Commissioner Monahan.

6 COMMISSIONER MONAHAN: That pains me.

7 MR. COLDWELL: Yeah. Absolutely. It's a
8 topic that's ripe for a lot of discussion next
9 year, so I'm really looking forward to digging
10 into that.

11 COMMISSIONER GUNDA: Yeah. Matt, I
12 think, just from my kind of closing off, you
13 know, for passing off, thanks for adding that.

14 MR. COLDWELL: Yeah.

15 COMMISSIONER GUNDA: I think, you know,
16 the question for me is definitely coming from,
17 you know, the need. And I think the demand
18 scenarios work, you know, was kind of, you know,
19 both getting at the policy side but, also,
20 looking at ultimate ways of analyzing, you know,
21 what should some of the infrastructure
22 investments and long-term investments should be
23 using?

24 So given that there is kind of that, you
25 know, market transformation, and then the

1 inflection happening in the transportation,
2 knowing those would be helpful from the system
3 design perspective, as well, so thank you so much
4 for jumping in on that.

5 MR. COLDWELL: Yeah. That's probably a
6 really good transition to the next presentation,
7 too.

8 COMMISSIONER GUNDA: Yeah. I know, yeah,
9 Commissioner McAllister probably has a question.
10 Go ahead.

11 COMMISSIONER MCALLISTER: So, yes, I'm
12 back. Sorry about that. I had a Bluetooth
13 problem which meant my mouse didn't work, so that
14 was kind of a problem.

15 So I just wanted to say I really
16 appreciated these presentations. I mean, it does
17 really seem like we're at an inflection point
18 here, particularly for the EVs. And in all these
19 different market sectors there's so much
20 technological possibility. But again, you know,
21 not enough kind of visibility onto the actual
22 market to have like a price elasticity of really
23 sort of understand how it's going to respond to
24 any given initiative, so it was really great.

25 And I also wanted to commend. We talked

1 about having, you know, a Btu, a cross-sector Btu
2 metric. And I saw that you all did that in one
3 of your slides and sort of took a broad view of
4 the whole transportation market across all fuels.
5 And I think that was a nice kind of unifying
6 message.

7 But really excited about the
8 possibilities here. And this playing field just
9 kind of doesn't have any lines on it, so you
10 know, what's it actually going to look like when
11 more people get out there and start playing?
12 It's going to be very interesting. And I know
13 that the team has access to a lot of data to pay
14 attention to that kind of, you know, in the very
15 short term, so that's great.

16 I think I'll stop there. I just want to
17 appreciate all the staff for -- I agree with
18 Commissioner Gunda that, over the last few years,
19 this sort of level of the analysis in the
20 Transportation Forecast has really come -- has
21 really blossomed, so I wanted to just thank
22 everybody for that.

23 COMMISSIONER GUNDA: Thank you,
24 Commissioner McAllister and Commissioner Monahan.

25 So with that, I will try to transition to

1 the next set of presentations on the demand
2 scenarios, so to Heather.

3 It looks like, Mike, take it away,
4 please.

5 MR. JASKE: All right. The very first
6 slide, please.

7 So good afternoon, for the record. I'm
8 Mike Jaske, working in the Energy Assessments
9 Division. And my colleague, Anitha Rednam, will
10 give an overview of a new capability being
11 developed at the CEC. And during Anitha's
12 portion of the presentation, the last half,
13 essentially, she'll show you the design of some
14 scenarios that we're in the process of finalizing
15 in preparation for the actual quantification
16 projections.

17 These scenarios build directly upon the
18 AAEE and AAFS work that Ingrid Neumann described
19 this morning. And, of course, most especially in
20 the higher numbered more aggressive scenarios
21 that she described.

22 This project is aspiring to develop and
23 assess scenarios of the sort that Commissioner
24 McAllister raised this morning, sort of thinking
25 a little outside the box, not as constrained,

1 perhaps, by firm knowledge and be a little bit
2 more speculative. And it also brings together
3 the buildings and transportation sectors that
4 Commissioner Monahan was urging.

5 Because we have accelerated this
6 presentation originally scheduled for December
7 16th to today, our scenario designs are not yet
8 final but they're certainly close enough that
9 she'll gain a good appreciation for where we're
10 headed.

11 Second slide.

12 The Energy Commission has periodically
13 undertaken scenario projects rather than
14 forecasting projects. Generally, these efforts
15 have focused on some particular topic that we're
16 striving to achieve insights rather than be a
17 basis for any kind of actual procurement decision
18 making. And sort of unfortunately, these efforts
19 have frequently utilized a consultant to do the
20 work. And so while we, the staff, can guide what
21 the consultant does, we're not, you know,
22 necessarily getting tools or staff skills and
23 capabilities that endure. And so we are,
24 essentially, embarking upon a new effort to build
25 that capability within the Energy Commission.

1 Next slide.

2 And what is the motivation for that now
3 as opposed to some other time? And these bullets
4 are, essentially, a sequence of the logic that
5 leads to that decision to make -- to develop this
6 capability.

7 So, clearly, the majority of policymakers
8 are in agreement that we need massive reductions
9 in GHG emissions by the mid-century, partly to
10 actually contribute to global warming mitigation
11 but, also, to show other jurisdictions in the
12 country and around the world that it's possible.
13 And, of course, since the majority of those
14 emissions come from burning carbon-based fuels,
15 that means a big shift from high-carbon fuels to
16 low or no-carbon energy forms.

17 And our GHG emission inventories,
18 formally assessed by CARB due to statute, but
19 Energy Commission contributed to the methods by
20 which that is developed, revealed that most GHG
21 emissions result from end user energy
22 consumption, there is still substantial energy
23 that's used in the extracting, transforming,
24 transmitting, and distributing of energy to end
25 users. And so understanding energy demand and

1 the pattern of change from one energy form to
2 another is critical to assuring that we have
3 reliable supplies for each of the energy forms
4 over the years as we transition more wholly to
5 electricity.

6 And I also want to make clear, and Anitha
7 will elaborate on this in more detail, that we,
8 in this project, are covering all customer
9 sectors and all fuels. That was also urged by
10 Commissioner Monahan this morning. And we can do
11 both total Btu and GHG projections as part of
12 this project and intend to do so.

13 Next slide.

14 So we set out on this endeavor kind of
15 late last year, early this year, partly under the
16 guidance of then Deputy Director Gunda and have
17 been working to make it a reality ever since. So
18 we're going to develop the specifications of
19 demand scenarios.

20 We're going to first assess them in terms
21 of final energy demand and later sort of, perhaps
22 on a staggered basis, focus on the supply side
23 dimensions and consequences of satisfying these
24 demands, probably starting with electricity,
25 somewhat in the nature of how we did that work

1 for the AB 3232 legislation.

2 Clearly, out of this we'll develop some
3 insights, and we want to communicate those to our
4 sister agencies and to stakeholders. And we
5 expect to adapt our methods through time, you
6 know, as we better understand our sister agency
7 needs and desires.

8 So we're ultimately going to create a
9 product in each biennial IEPR cycle that is sort
10 of parallel to the core demand forecasts. And,
11 perhaps, the Energy Commission will desire to
12 adopt those if that standing is found to be
13 meritorious and useful in their use by other
14 agencies.

15 Next slide.

16 Obviously, this effort is more than can
17 be accomplished in a single year and so we set
18 out some particular objectives for this 2021
19 IEPR. We're going to develop and assess
20 scenarios that are focused on high
21 electrification. And we're not necessarily going
22 to be able to focus on the amount of implications
23 of a high hydrogen future or other sort of lower
24 carbon or more moderate carbon fuel forms.

25 We are developing modeling capabilities,

1 partly by adapting existing tools and partly by
2 creating new elements that can assess these
3 scenarios. We're going out on an annual basis
4 out to 2050 so that we can observe things in that
5 mid-century realm that policymakers have
6 announced is our goal. We are generally focusing
7 on annual consumption and results. But for
8 electricity, obviously, we need to convert that
9 annual electric energy into hourly load
10 impacts that the generation sector needs to do
11 its assessments.

12 Similarly, we're going to be doing this
13 at a geographic basis that is comparable to the
14 planning areas in major utilities, as is the case
15 with core demand forecast itself. It's also
16 necessary for the kind of electricity generation
17 and transmission intensive analysis that we
18 expect to be following the development of demand
19 projections themselves. We're going to be
20 assessing all the major energy forms, fuel types
21 and, as I said earlier, going to be computing GHG
22 consequences.

23 So in this initial effort for the 2021
24 IEPR, we are building off the existing demand
25 forecasting models that will be focused on partly

1 today for transportation, and more so December
2 16th for the sort of building and industrial
3 sectors, with the ancillary projection tools that
4 are developed for AAEE and AB 3232 fuel
5 substitution.

6 But for other elements, we're relying
7 upon E3's PATHWAYS model which has been adopted
8 under a work authorization we have with E3 to, in
9 effect, take the results of certain of our models
10 and tools, export them into PATHWAYS, bypass the
11 internal PATHWAYS computations for those
12 particular sectors and fuels, retain PATHWAYS for
13 the balance of sectors and fuels, and then
14 generate a total anthropogenic projection for all
15 fuels in all sectors.

16 We anticipate, with resources, that we
17 will shift more towards reliance upon Energy
18 Commission tools, whether they're further
19 adaptations of PATHWAYS or something else. It's
20 a little hazy at this point but there's plenty of
21 room for improvement in our modeling techniques
22 and in our collection of data.

23 Next slide.

24 And finally, we're aspiring to develop
25 these scenarios in such a way that we're

1 explicitly quantifying impacts of programs,
2 standards, policies that impact energy demand and
3 GHG emissions in our customer sectors. And
4 that's a significant difference in our mind from
5 some of the other projections that have been
6 developed as part of GHG plans in CARB's Scoping
7 Plan where there's more sort of basic assumptions
8 about the penetration of technologies and the
9 shift of one fuel form to another without a clear
10 programmatic or standard inducement to define
11 that trajectory through time.

12 Our analysis is going to try to achieve
13 this by having several scenarios where we sort of
14 look at business-as-usual world, a sort of
15 programmatic policy world, and then a mitigation
16 world where we can make some of those more heroic
17 assumptions.

18 And, clearly, the effort to understand
19 how programs will operate in the period beyond
20 our traditional forecast is a challenge. And we
21 will need to be working with our other agencies
22 and utilities to better understand exactly how we
23 can improve upon what we're doing in this cycle.
24 But the capability to take the level of
25 programmatic disaggregation that Ingrid showed

1 this morning and continue that out all the way to
2 2050 is in place and that will be the basis for
3 our long-term projections.

4 And so just wrapping up that theme about
5 the importance of understanding what existing or
6 near-term in-development programs will contribute
7 to energy change and GHG reductions, that will
8 then give the basis for understanding by
9 sector/by end use where we need to develop
10 additional programs that will sort of close the
11 gap between what we anticipate, sort of
12 continuation of existing types of policies and
13 programs, and to get down to the level that's
14 required for mitigation.

15 And with that, I will turn it over to my
16 colleague, Anitha Rednam.

17 MS. REDNAM: Thank you, Mike. Good
18 afternoon, Commissioners and stakeholders.

19 Next slide, please.

20 So my first slide here explains the
21 general difference between a forecast and a
22 scenario. So in simpler terms, a forecast
23 attempts to predict a likely future. The demand
24 forecast has always referred to the next ten
25 years, so this is the forward time horizon that

1 reasonable levels of demand certainty with the
2 lead time for procuring and constructing supply-
3 side infrastructure occur.

4 But scenarios, on the other hand, look at
5 the range of long-term possible futures. They
6 help to understand the deviations and divergence
7 between each future.

8 Next slide, please.

9 So a quick review of our Demand Scenarios
10 Project here. So the purpose of the demand
11 scenarios is to help examine these fuel shifts
12 that occur on the demand side and the
13 consequences of those changes on the supply side
14 and evaluating crosscutting metrics, such as
15 greenhouse gas emissions and costs.

16 So we are developing three demand
17 scenarios which will extend out to 2050. We will
18 be including what will be the fuels in the
19 analysis and cover greater range of uncertainties
20 which are typically not covered, which are
21 typically outside the forecast range, for
22 example, technology cost reductions and
23 performance improvements over time, assumptions
24 about consumer behavior, and goals that have not
25 yet been translated to policies.

1 So the method we will be using is to
2 start with our managed mid demand forecast as a
3 starting point and adjust it with the load
4 modifier tools we have available, such as AAEE,
5 additional achievable energy efficiency, and
6 additional achievable fuel substitution, AAFS,
7 especially for the residential and commercial
8 sectors.

9 Next slide, please.

10 So as Mike mentioned in his presentation,
11 our demand scenario process will focus on the
12 high electrification theme. We will develop
13 different demand projections by modifying the
14 baseline. And I will go over this a little bit
15 in deep in the framework process. In addition to
16 producing demand projections, we'll also produce
17 greenhouse gas emissions by sector.

18 Next slide, please.

19 So why are these assessments needed?

20 So demand scenario assessments, they help
21 set or reassess California's energy and
22 greenhouse gas emission reduction goals by
23 providing a clear and objective information to
24 us. Then these assessments can also tell how
25 easy or how difficult it may be to achieve these

1 goals and provide incentives or insight into
2 where programs need to be developed.

3 Next slide, please.

4 So these are the proposed scenario types
5 we are envisioning, a reference scenario, a
6 policy compliance scenario, and a mitigation
7 scenario. So as mentioned, again, these stress
8 electrification as the basic theme, and so the
9 results will show the impacts of a growing
10 combination of regulations, policies, and
11 programs with electrification as the objective.

12 So the reference scenario is the first
13 scenario. It's the business-as-usual scenario.
14 It uses the same assumptions as the CEC-adopted
15 Mid Demand Forecast through 2035.

16 Beyond that, this scenario assumes that
17 the standards, programs, and policies that were
18 included in the demand forecast will continue
19 with the same degree of compliance. And it also
20 serves as a reference against which the policy
21 compliance and mitigation scenario can be
22 assessed. So this comparison will tell us how
23 much more needs to be accomplished after the
24 existing processes have been exhausted.

25 So moving on to the policy compliance

1 scenario, this is built off the first scenario.
2 So the policy elements that were not fully
3 captured in the reference scenario will be
4 captured in this scenario. The compliance
5 elements of this scenario will quantify standards
6 that have not been brought to full compliance in
7 the reference scenario, so they would be brought
8 up to a higher level of compliance. And so the
9 increment between the reference and the policy
10 would be the impact of fully achieving the
11 intended goal of the policy and the program.

12 So moving on to the mitigation scenario,
13 this is an aspirational scenario, so more
14 programs and standards can be added onto those
15 that then already -- that are there in the policy
16 compliance scenario. And the gap between the
17 policy compliance and the mitigation scenario
18 will tell us the need for fuller policy
19 development or new program designs or approaches
20 that need to be quantified in the future.

21 Next slide, please.

22 So this slide shows a high-level
23 framework of our scenario design. So the first
24 column, you can see the various sectors, followed
25 by the inputs in the second column where we are

1 assessing, and the fuels being considered.

2 For the sectors in the fuels, we are
3 assessing as seen in the light green color here
4 and the peach color, electricity and natural gas
5 for the residential and commercial, and all the
6 fuels in the transportation sector. Like Mike
7 mentioned, this process involved extending our
8 existing demand analysis tools to 2050. And
9 these tools are listed below, like our stationary
10 demand forecast models, our AAEE/AAFS
11 programmatic tools, our FSSAT models, and
12 traditional demand forecast transportation tools.

13 So these tools, and for these sectors, E3
14 will adapt their PATHWAYS model to replace their
15 data inputs and calculations with inputs from us
16 which quantify energy projections using our 2021
17 economywide econ demo projections, projected
18 households, and projected commercial floor space
19 out to 2050.

20 So the other demand-side sectors, like
21 industry, agriculture, as seen in light purple,
22 we will be relying on the E3's PATHWAYS model.
23 The complete PATHWAYS scenario will then be
24 generated covering all these sectors and all the
25 fuels, as seen here on the slide, and the results

1 will also include greenhouse gas emission
2 projections from all of these sector fuel
3 combinations. So our analysis also relies on the
4 modeling formulations and other assumptions built
5 in the E3 tool.

6 Next slide, please.

7 So this slide is a preliminary reference
8 scenario design, so a key emphasis on the word
9 preliminary. It's not finalized yet. So this is
10 how we're approaching it. So we are going to be
11 extending our residential and commercial
12 consumption baseline forecast to 2050. So to
13 generate the 2050 baseline forecast the models
14 are provided with additional years of econ demo
15 driver data that is available to us through
16 Department of Finance and Moody's Analytics.

17 The baseline projections will then be
18 adjusted for impacts of AAEE and AAFS, reflecting
19 a business-as-usual perspective, as can be seen
20 here in light green. So business-as-usual energy
21 efficiency is best seen by Scenario 3, so this
22 has been a standard choice for a managed demand
23 forecast, and it's used by PUC and ISO for
24 general generation and transmission planning and
25 procurement.

1 So AAEE will come entirely from the
2 programmatic contributions being developed in our
3 EEFS tool, energy efficiency fuel substitution
4 tool. So there are several elements or data
5 streams that we draw from for AAEE, those are IOU
6 and POU potential and goals projections, codes
7 and standards savings projections, and beyond
8 utility impact workgroups. This year, we're also
9 adding AAFS and will be treating it in a similar
10 way to how we treat AAEE currently. So AAFS will
11 also have scenarios encompassing, limited to
12 extensive shift from natural gas consumption to
13 electricity through time.

14 But the key point here is that AAFS will
15 have two components, one just like the
16 programmatic contributions from the EEFS tools,
17 so the same elements there from EE will be
18 updated to capture the fuel substitution impacts
19 for these scenarios. And then the speculative
20 fuel substitution contribution will be captured
21 in the exact model for programs that are still in
22 development.

23 So as you can see here in the reference
24 scenario, we will be selecting an AAFS scenario
25 that contains only a limited set of fuel

1 substitution programs that exist today or that
2 have already been adopted and will be implemented
3 in the next year. So the other fuels in these
4 sectors, like kerosene, LPG, we will be relying
5 on the PATHWAYS model.

6 Then moving on to the transportation
7 sector, the baseline forecast energy demand is
8 forecasted, again, using models that incorporate
9 consumer preferences, regulations, economic and
10 demographic projections, and other market
11 factors. Again, for the remaining sectors and
12 all the scenarios, will be using the PATHWAYS
13 model that was last used for the 2020 Carbon
14 Neutrality Report with the inclusion of the
15 residential, commercial, transportation fuel
16 demands from us.

17 Next slide, please.

18 So the next few slides have the same
19 structure as the reference scenario, so I will
20 not get into too much detail here. But I just
21 want to point out that the baseline forecast is
22 adjusted here to reflect more aggressive energy
23 efficiency and expansive fuel substitution
24 impacts than that were included in the reference
25 scenario. So the more aggressive AAFS scenarios

1 take the existing elements that were in the
2 business-as-usual Scenario 3 and increase them
3 beyond reference scenario values for compliance,
4 participation, and funding.

5 And I want to note here on the
6 transportation sector that we will be starting
7 off with the 2021 IEPR Mid Transportation
8 Forecast as a baseline, and then we will be
9 layering that with the CARB State Implementation
10 Strategy for capturing the incremental impacts
11 beyond the reference scenario. So this is based
12 on CARB's proposed regulations for Advanced Clean
13 Cars II for Light Duty Vehicles and Advanced
14 Clean Fleets for Medium and Heavy-Duty Vehicles.

15 Next slide, please.

16 Moving on to the mitigation scenario.
17 The baseline residential and commercial
18 consumption forecast will be the same, just like
19 the reference in the policy compliance scenario.
20 But, again, the energy efficiency and the fuel
21 substitution modifications are more extensive
22 here. So the more aggressive AAFS scenarios take
23 the existing elements from the business-as-usual
24 AAFS Scenario 3 and will increase them from
25 reference scenarios to maximum achievable values

1 for compliance rate participation and funding.

2 And moving on to the transportation
3 sector here, we will be using the 2021 IEPR Mid
4 Transportation Forecast as a baseline and then
5 plan to layer it with the CARB Mobile Source
6 Strategy for capturing the incremental impacts
7 beyond the policy compliance scenario. As with
8 the policy compliance scenario, the mitigation
9 scenario will use increasingly more aggressive
10 ZEV attributes and ZEV policies.

11 Next slide, please.

12 So a quick review of our demand scenarios
13 project timeline. We had a Demand Analysis
14 Working Group meeting on September 15th. Today
15 we are having an IEPR workshop on the project
16 overview and the framework. And then in March
17 '22, we are planning to have a workshop on the
18 actual inputs, the assumptions and results.

19 Next slide, please.

20 With that, I'm done with my presentation.
21 Thank you for the opportunity.

22 COMMISSIONER GUNDA: Thank you, Anitha
23 and Mike. That is so exciting to see the work
24 moving forward. I recall, you know, a year or so
25 ago when we were kind of just talking about this

1 as a conceptual thing and kind of seeing how much
2 work you're able to pull together, just want to
3 both thank and commend both of you for helping
4 pull this together.

5 I think, you know, earlier in my kind of
6 comments, like I mentioned, you know, the -- you
7 know, all the things that you laid out as to why
8 we need to do this work are extremely, you know,
9 valuable and important. And I think, you know,
10 for a lot of policy questions moving forward, and
11 also some of the choices we might have to make on
12 the system planning side, this information will
13 be extremely valuable.

14 So just a couple of -- oh, and maybe just
15 kind of a question on kind of the thinking on the
16 framework.

17 So one is just kind of how we landed,
18 where we've landed for '21, and then kind of,
19 then, what's next kind of question on the
20 framework?

21 So if we go back to slide number 12 on
22 the scenario framework for 2021 IEPR, so I think,
23 you know, what I heard, Anitha, from you is, you
24 know, much of the work is going to be focused on
25 understanding the electricity needs, you know, on

1 the system. I just want to get an idea on, you
2 know, how we are thinking about the gas side,
3 specifically, you know, how are we going to treat
4 that into the scenario work?

5 And also, you know, are we thinking about
6 how the fuels, again, like, you know, the RNG
7 elements or hydrogen elements? And you know,
8 sure, it's kind of hard to pull them together
9 into a cohesive framework, but just wanted to get
10 an idea on what -- you know, how we landed, where
11 we landed for now and, you know, where you are
12 planning to take this into the next year?

13 MR. JASKE: So let me respond to that
14 question. This slide isn't what I think you were
15 referring to, Commissioner.

16 As you know, the staff forecasting models
17 cover electricity and natural gas and they're not
18 the totality of energy forms used. Certainly,
19 there are some minor fuels but the bulk of the
20 focus is on those two. And, essentially, the gas
21 forecast, the base gas forecast becomes the
22 important predictor of eventual electrification
23 consequences.

24 So if you can imagine the amount of
25 natural gas energy being used in the residential

1 sector for space heating, you know, the shift of
2 that to electricity without harming or degrading,
3 you know, the level of comfort in people's homes,
4 you know, will be supplied by electric heat
5 pumps. And as Commissioner McAllister indicated,
6 and I think parallel thinking of Commissioner
7 Monahan, that those are much more efficient.

8 And so there's a very close nexus between
9 the base natural gas forecast and the
10 consequences of electrification of that and that
11 is built into this methodology, similar in the
12 commercial building sector. And I think Aniss,
13 you know, made that same point in the
14 transportation sector. If you shift from one
15 fuel to another fuel you're going to have a
16 reduction in the former and an increase in the
17 latter.

18 COMMISSIONER GUNDA: Yeah.

19 MS. REDNAM: So, Commissioner Gunda, I
20 just wanted to add. Our scenarios do reflect
21 that. I didn't spell that out in my presentation
22 because we are not -- we didn't decide on them
23 100 percent yet.

24 COMMISSIONER GUNDA: Great. Thank you.
25 I think, you know, just kind of as we move

1 forward, absolutely understanding the electricity
2 side and the impacts are essential from the grid
3 planning perspective, but kind of having the
4 other end of it, which is the gas-side
5 implications of all these scenarios, which I
6 presume will be, you know, the outputs will be
7 extremely beneficial in the long run.

8 I know Commissioner Monahan has to jump
9 off soon, so I just want to give her an
10 opportunity to comment or ask questions.

11 COMMISSIONER MONAHAN: I do have some
12 questions. I actually was getting a little
13 confused in the beginning. I was like is this
14 for -- was this for, what, the next IEPR cycle?
15 How are we thinking about this? And it sounds
16 like, I'm going to restate just to make sure I
17 understand, so this is what we're planning to
18 roll out in the next IEPR cycle going forward?

19 And the scenario analysis will include
20 inputs from the Air Resources Board and partner
21 policy agencies, I would call them, to ensure
22 that the scenarios reflect what CARB expects
23 their vehicle regulations to go, and so we'll be
24 more aligned, ultimately, as a result of this
25 kind of cross-agency collaboration and this new

1 scenario planning; is that fair?

2 MR. JASKE: We are attempting to do that.
3 But as you particularly heard from Bob talking
4 about the medium and heavy-duty trucks,
5 they're -- the form of regulation that CARB seems
6 to be pursuing, which obviously has benefits to
7 fleet operators in terms of credits and earned
8 and sold to some other entity, you know, create
9 major issues from a forecasting side because it
10 becomes harder to predict who's actually doing
11 what.

12 And you know, we've already had that
13 problem in the National, you know, EPA Fuel
14 Standards formulation, and for the very same
15 reason, that it allows manufacturers who, for
16 whatever reason, can't/won't produce, you know,
17 compliant vehicles to, in effect, buy credits,
18 which presumably they're rolling into the price
19 of their vehicles if they're going to stay
20 insolvent as an entity, and if they have vehicles
21 that consumers want to pay for that have a price
22 premium because of that, that allows that whole
23 system to persist through time. It's been that
24 way on the vehicle side, the federal vehicle
25 side, for many years.

1 So that's a -- that is a challenge to
2 forecasting because it says money can blur the
3 actual intended goal of shifting from -- away
4 from dirty fuels to clean fuels.

5 COMMISSIONER MONAHAN: I totally agree.
6 I can't agree more. Although, I would just say
7 I'm happy that this cross-agency conversation is
8 happening because, I mean, it would really be
9 ideal in the next few years if, when we have
10 these demand forecast workshops, CARB is at the
11 table, too, and they're informing and using these
12 forecasts. In a way, like they use their
13 forecasts, we use ours and never the twain shall
14 meet. And that, to me, is a problem. Like we
15 should actually be talking to each other and
16 having data that complements and is useful to the
17 other agencies. So I think that conversation
18 alone is worthy.

19 MR. JASKE: It is happening and it needs
20 to happen at a higher level.

21 COMMISSIONER MONAHAN: Where's the Eight
22 Ball (phonetic)?

23 COMMISSIONER GUNDA: Yeah, I think we
24 should.

25 COMMISSIONER MONAHAN: But I just want to

1 say I think it's a good direction to go.

2 COMMISSIONER GUNDA: Yeah, Commissioner
3 Monahan, I just wanted to comment on that. I
4 think, you know, at a 30,000-foot level, kind of
5 a key strategy or, you know, key kind of goal
6 that we are kind of trying to put forward is
7 starting 2022 IEPR, you know, we really package
8 all our products into a single statewide planning
9 library of products. And that, you know,
10 inherently means, you know, it has to buy off
11 CPUC, CARB, CAISO, and other agencies. And I
12 think there is the JASC (phonetic) forum, and
13 then there's a supply JASC forum, and so on.
14 There's like different forums where the
15 conversations are happening.

16 But to Mike's point, I think we're still
17 coalescing as to how best to clear this process.
18 And this very first iteration of the product will
19 help us put something at the table and then kind
20 of have, you know, reactions on the process
21 development around that to, you know, ultimately
22 move to the point that you're talking about where
23 we have both a crosscutting lexicon but, also,
24 crosscutting, you know, analysis that we're all
25 kind of starting off of.

1 And you know, our kind, at least from my
2 vantage point, you know, it's been, you know, if
3 you have 10, 15 scenarios, right, we ultimately
4 develop in a library of products, you know, CPUC
5 might end up, you know, using a certain variation
6 for a study and a certain variation for planning,
7 and, similarly, CARB. But at the end of the day,
8 by the time we get to the scoping plan and then
9 the blueprint is developing in four years from
10 now, the next one, we're all having a starting
11 point of the CEC's library of energy products.

12 COMMISSIONER MONAHAN: And I have to go.
13 But thanks Heather, thanks Mike, Anitha, really.
14 A really great day of presentations, actually, so
15 bye everybody.

16 MS. REDNAM: Thank you.

17 COMMISSIONER GUNDA: Thank you,
18 Commissioner.

19 Yeah, I think with that, I do not have
20 any more questions but just general kudos again,
21 Mike, to you and Anitha and the entirety of your
22 team. I know this has been a lot of work pulling
23 this together. And thank you for working with
24 our sister agencies, you know, but also kind of
25 bringing in the elements from E3 that we could

1 leverage for now on the PATHWAYS and continue to
2 enhance them to better serve the state policy
3 questions.

4 So I think with that, we're going to go
5 to Heather for any Q&A.

6 MS. RAITT: I don't see any Q&A, so I
7 think we can actually move on to pub comment.

8 Dorothy, are you available, Dorothy from
9 the Public Advisor's Ofc? Dorothy Murimi, excuse
10 me, go ahead.

11 MS. MURIMI: Thank you, Heather.

12 So just a few instructions for everyone.
13 One person per organization may comment and
14 comments are limited to three minutes per
15 speaker. And if there are several parties
16 interested in commenting, we may reduce the time
17 to one-and-a-half minutes per speaker.

18 If you're using Zoom, the platform, go
19 ahead and use the raise-hand feature to let us
20 know you'd like to make a comment. It looks like
21 a high-five and should be at the bottom of your
22 screen or device. And we'll call upon you after
23 your hand is raised.

24 Now if you are on the phone, go ahead and
25 press star nine to raise your hand, and then star

1 six afterwards to unmute your line, and we'll
2 unmute from our end.

3 I will list your -- I will speak your
4 name. apologies if I do not state it correctly.
5 Once stated, go ahead and state your name and
6 your affiliation, if any.

7 And if you're on the phone line, I will
8 list the last three numbers of your phone number,
9 and so I'll give this a moment.

10 Again, the raise-hand feature looks like
11 a high-five to indicate you'd like to make a
12 comment, or if you're on the phone, star nine to
13 raise your hand. And one last call. Again, if
14 you're on the phone line, star nine to raise your
15 hand, and the raise-hand feature if you're on the
16 Zoom platform.

17 Seeing no raised hands, I'll hand the
18 mike back to you, Vice Chair Gunda.

19 COMMISSIONER GUNDA: Thank you, Dorothy.

20 Just I wanted to say, thank you again to
21 everybody for your attendance today, all the
22 attendees. Thank you to the entirety of the
23 team, the IEPR Team, for putting together kind of
24 a thoughtful and important conversation today.
25 And I'm glad the discussion we had this morning,

1 and some of the responses for the discussion,
2 without, you know, actually being able to answer,
3 in the last segment, the demand scenarios.

4 So with that, you know, I don't have any
5 other comments. I'll hand it off to Heather for
6 closing.

7 MS. RAITT: Great. Thank you, Vice Chair
8 Gunda.

9 So I'll just remind everybody that
10 written comments are always welcome and they're
11 due on December 16th. And the information is in
12 the notice for how to submit comments.

13 And then, also, just invite everybody to
14 join us again tomorrow at 10:00 for a workshop on
15 supply-side demand response, and so that will be
16 another good day of information.

17 And I thank everybody for participating
18 today and I think we're done.

19 COMMISSIONER GUNDA: Thank you, Heather.
20 Bye-bye.

21 MS. RAITT: Thank you.

22 (The workshop concluded at 3:58 p.m.)

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of January, 2022.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



January 18, 2022

MARTHA L. NELSON, CERT**367