

DOCKETED

Docket Number:	22-BUSMTG-01
Project Title:	Business Meeting Agendas, Transcripts, Minutes, and Public Comments
TN #:	241548
Document Title:	Transcript of 1-26-2022 Business Meeting
Description:	N/A
Filer:	Liza Lopez
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	2/16/2022 7:12:14 AM
Docketed Date:	2/16/2022

BUSINESS MEETING
BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:)
) 22-BUSMTG-01
 Business Meeting)
)
_____)

REMOTE ACCESS ONLY

Public comment is accepted solely through the Zoom platform.

The California Energy Commission's (CEC) January 26, 2022 Business Meeting will be held remotely, consistent with Assembly Bill 361 (Rivas, Chapter 165, Statutes of 2021) to improve and enhance public access to state meetings during the COVID-19 pandemic and future emergencies by allowing broader access through teleconferencing options. The public can participate in the business meeting consistent with the direction provided below.

Please note that the CEC aims to begin promptly at the start time and the end time is an estimate based on the agenda proposed. The business meeting may end sooner or later than the time indicated depending on various factors.

Pursuant to California Code of Regulations Title 20 section 1104(e), any person may make oral comment on any agenda item. To ensure the orderly conduct of business, such comments will be limited to three minutes or less per person. Any person wishing to comment on information items or reports (non-voting items) shall speak during the general public comment portion of the meeting and have three minutes or less to address all remaining comments.

WENESDAY, JANUARY 26, 2022

10:00 A.M.

Reported by:
Peter Petty

APPEARANCES

Commissioners (Via Remote)

David Hochschild, Chair
Siva Gunda, Vice Chair
Karen Douglas
Andrew McAllister
Patricia Monahan

Staff Present: (Via Remote)

Drew Bohan, Executive Director
Linda Barrera, Chief Counsel
Noemi Gallardo, Public Advisor
James Qaqundah, Assistant Chief Counsel
Lisa Worrall, Staff Project Manager
Jennifer Baldwin, Staff Counsel
Leonidas Payne, Staff Project Manager
Jeff Harris, Lead Project Counsel
David Stein, Lead Environmental Consultant

	Agenda Item
Nick Fugate	2
Elizabeth Huber	3
Geoff Lesh	3
Erik Lyon	4
Eric Knight	5, 6
Patrick Brecht	7
Esther Odufuwa	8
Michael Ferreira	9

Also Present: (Via Remote)

Presenters:

Nika Kjensli, CPUC	3
Kelly McAdoo, City of Hayward	3
Curt Hildebrand, Hydrostor, Inc.	5, 6
David Stein, Hydrostor, Inc.	5

APPEARANCES (Cont.)

Agenda Item

Public Comment (Via Remote)

Claire Warshaw, Self	3
Melissa Yu, Sierra Club	3
Simon Baker, CPUC	4
Tom Luster, California Coastal Commission	5
Todd Thompson, CEO, Carnot Compression	9
Pat Millham, Swift Solar	9
Igor Tregub, California Democratic Party Environmental Caucus	14
Cailey Underhill, Solar Rights Alliance	14
Selena Feliciano, Self	14
Lee Miller, Self	14
Joan Taylor, Self	14
Jan Dietrick, Self	14
Charles Adams, Albion Power Company	14
Dan Hodapp, Self	
Ben Grundy, Environment California	14
Jane Affonso, Lutheran Office of Public Policy	14
Susannah Saunders, Self	14

I N D E X

	Page
Proceedings	7
Items	
1. Consent Calendar	9
a. Aspen Environmental Group.	
b. University of California, Berkeley, Energy Institute at Haas School of Business.	
c. Allotrope Partners LLC	
d. California State Pipe Trades Council (CSPTC) Amendment to Provider Application	
2. California Energy Demand 2021-2035 Forecast of Natural Gas and Electricity Consumption.	10
3. Information Item on Russell City Energy Center Joint Agency Working Group Regarding the Steam Turbine Explosion and Summer 2021 Operations.	24
4. Information Item on Draft Report to the CPUC on Supply-Side Demand Response.	49
5. Pecho Energy Storage Center (PESC) (21-AFC-01).	72
6. Gem Energy Storage Center (GESC) (21-AFC-02).	89
a. Possible closed session deliberation on the above-described filing. [Government Code Section 11126(c)(3)].	

I N D E X (Cont.)

7.	EV Ready Communities Phase II - Blueprint Implementation - GFO-19-603.	112
	a. San Francisco Department of the Environment.	
	b. County of Los Angeles Internal Service Department.	
	c. Kern Council of Governments (Kern COG).	
8.	Santa Clara Valley Transportation Authority.	117
9.	Bringing Rapid Innovation Development to Green Energy - GFO-20-301.	125
	a. Swift Solar, Inc.	
	b. Intertie Incorporated.	
	c. GreenFire Energy Inc.	
	d. Icarus RT, Inc.	
	e. Carnot Compression Inc.	
10.	Minutes.	137
11.	Lead Commissioner or Presiding Member Reports.	138
12.	Executive Director's Report.	154
13.	Public Advisor's Report	155
14.	Public Comment	46, 69, 78, 132, 156

I N D E X (Cont.)

	Page
15. Chief Counsel's Report	175
a. Pursuant to Government Code Section 11126(e), the CEC may adjourn to closed session with its legal counsel to discuss any of the following matters to which the CEC is a party:	
i. <i>In the Matter of U.S. Department of Energy (High Level Waste Repository) (Atomic Safety Licensing Board, CAB-04, 63-001-HLW); State of California v. United States Department of Energy (9th Cir. Docket No. 09-71014)</i>	
ii. <i>State Energy Resources Conservation and Development Commission v. HyGen Industries, Inc. (Sacramento County Superior Court, Case No. 34-2019-00252543-CU-BC-GDS)</i>	
iii. <i>Interlink Products International, Inc. v. Xavier Becerra, Drew Bohan, Melissa Rae King (United States District Court for the Eastern District of California, Case No. 2:20-cv-02283)</i>	
b. Pursuant to Government Code, section 11126, subdivisions (a) and (e), the CEC may also discuss any judicial or administrative proceeding that was formally initiated after this agenda was published; or determine whether facts and circumstances exist that warrant the initiation of litigation, or constitute a significant exposure to litigation against the CEC, which might include personnel matters.	
Adjournment	175
Reporter's Certificate	176
Transcriber's Certificate	177

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

P R O C E E D I N G S

NOVEMBER 15, 2021 10:02 a.m.

(Start of Introductory Video.)

MS. MURIMI: Welcome to the California Energy Commission's Business Meeting.

Zoom's closed captioning feature has been enabled to make Energy Commission business meetings more accessible. Attendees can use this feature by clicking on the "Live Transcript" icon and then selecting either "Show Subtitle" or "View Full Transcript." Closed captioning can be stopped by closing out of the live transcript or selecting "Hide Subtitle." Those participating solely by phone do not have the option for closed captioning.

The Energy Commission will continue to post the transcript of this Business Meeting rendered by a professional court reporter in the docket system and on the Business Meeting webpage.

Consistent with Assembly Bill 361, today's business meeting is being held remotely through Zoom to improve and enhance public access to state meetings during the COVID-19 pandemic. The public can participate in the Business Meeting consistent with the instruction for remote participation found in the notice of this meeting, and as set forth in the agenda posted to the Energy Commission's

1 website.

2 Pursuant to California Code of Regulations Title
3 20 section 1104(e) any person may make oral comments on any
4 agenda item.

5 Once the public comment period begins if you'd
6 like to speak, please raise your hand by clicking on the
7 "Raise Hand" icon at the bottom of your screen. Please
8 note that if Zoom were to shut down, we would switch to the
9 Verizon phone line at (888)823-5065. The pass code is
10 "Business meeting." Public comment would then be accepted
11 through Verizon.

12 To ensure the orderly and fair conduct of
13 business, public comments will be limited to three minutes
14 or less per person for each agenda item voted on today.
15 Any person wishing to comment on the information items or
16 reports, which are non-voting items, shall reserve their
17 comment for the general public comment portion of the
18 meeting. And shall have a total of three minutes or less
19 to state all remaining comments.

20 If you're joining by phone press *9 to raise
21 your hand and *6 to unmute. After the Public Advisor calls
22 on you to speak, spell your name, and state your
23 affiliation if any.

24 Welcome to the California Energy Commission's
25 Business Meeting. The meeting will now begin.

1 (End of Introductory Video.)

2 CHAIR HOCHSCHILD: Well, good morning and welcome
3 friends. I'm David Hochschild, Chair of the Energy
4 Commission. Happy New Year to all again, and we'll call
5 this meeting to order. Joining me today are Vice Chair
6 Gunda, Commissioner Douglas, Commissioner McAllister and
7 Commissioner Monahan. We have a quorum. And we'll proceed
8 with the business meeting starting with Commissioner
9 McAllister to lead us in the Pledge of Allegiance.

10 (Whereupon the Pledge of Allegiance was recited.)

11 CHAIR HOCHSCHILD: Thank you, Commissioner
12 McAllister.

13 I'm happy to announce that at today's Commission
14 meeting we are seeking approval for over \$20 million in
15 grants at this business meeting, all of which will help
16 support our economic recovery and continued progress on
17 climate solutions.

18 So let's turn now to Item 1, the Consent
19 Calendar. Are there any public comment on Item 1, Madam
20 Public Advisor?

21 MS. GALLARDO: This is Noemi Gallardo, the Public
22 Advisor. Attendees, if you would like to make a public
23 comment, please use the Zoom raised-hand feature, it looks
24 like a high-five. If you are on by phone, please press *9
25 to raise your hand and *6 to unmute.

1 I'm looking for hands now. I do not see any,
2 Chair. We can proceed.

3 CHAIR HOCHSCHILD: Unless there is Commissioner
4 discussion, Vice Chair Gunda, would you be willing to move
5 the item?

6 COMMISSIONER GUNDA: Yeah, thank you, Chair. I
7 move Item 1.

8 CHAIR HOCHSCHILD: Commissioner McAllister, would
9 you be willing to second?

10 COMMISSIONER MONAHAN: I second Item 1.

11 CHAIR HOCSCHILD: All in favor say aye.
12 Vice Chair Gunda?

13 VICE CHAIR GUNDA: Aye.

14 CHAIR HOCSCHILD: Commissioner McAllister?

15 COMMISSIONER MCALLISTER: Aye.

16 CHAIR HOCSCHILD: Commissioner Douglas?

17 COMMISSIONER DOUGLAS: Aye.

18 CHAIR HOCSCHILD: Commissioner Monahan?

19 COMMISSIONER MONAHAN: Aye.

20 CHAIR HOCSCHILD: And I vote aye as well. That
21 item passes unanimously.

22 Let's turn now to Item 2, California Energy
23 Demand 2021-2035 Forecast of Natural Gas and Electricity
24 Consumption. Let's start with Nick Fugate to present.

25 MR. FUGATE: Hi there. Good morning,

1 Commissioners. I'm Nick Fugate with the Energy Assessments
2 Division. And I'm here today to propose adoption of the
3 California Energy Demand Forecast, for years 2021 to 2035.
4 I have a brief presentation covering the purpose of this
5 forecast, a recap of our process this year, notable changes
6 that we've made over previous vintages, and some high-level
7 results. Next slide, please.

8 Demand forecasting is one of the Energy
9 Commission's charter responsibilities. And if adopted
10 today, the forecast will be incorporated into Volume IV of
11 the 2021 IEPR. The demand forecast is also a critical
12 planning tool that lays the foundation for a number of
13 statewide planning and procurement efforts including
14 transmission and distribution planning, integrated resource
15 planning, resource adequacy and other activities aimed at
16 keeping California's energy clean, affordable and reliable.
17 Next slide, please.

18 We refresh our forecast every year, vetting it
19 within the CEC's annual IEPR proceeding. In 2021, we held
20 five workshops presenting and soliciting stakeholder
21 feedback on our inputs and assumptions, on proposed
22 methodological changes, and on our draft forecast results.
23 We also held a number of demand analysis working group
24 meetings to discuss specific technical elements of the
25 forecast and to review the forecast results in more detail.

1 We routinely engage with JASC. This is a working
2 group intended to promote coordination between the IEPR
3 forecast and its dependent processes at the CPUC and ISO.
4 Each of these venues provides valuable feedback to staff
5 during the development process. And I'd like to thank all
6 of our colleagues and stakeholders who took the time this
7 year to participate in these discussions and provide input.

8 Our final workshop to present draft results was
9 held in early December. I want to note that we made two
10 subsequent adjustments to our forecast in response to
11 stakeholder comments. The first was a slight correction to
12 our EV charging profiles within the hourly forecast. And
13 the second was a downward adjustment to our original 2021
14 weather-normal peak estimate for the CAISO control area.
15 Next slide, please.

16 2021 was a full forecast cycle. This means that
17 not only did we refresh our inputs and assumptions and
18 conduct a new set of model runs, we also made some analytic
19 improvements. With an eye toward California's long-term
20 decarbonization goals we extended our forecast horizon by
21 another three years, so out to 2035.

22 The extreme heat events of Summer 2020
23 highlighted the challenges around determining normal
24 weather conditions within a changing climate. This is a
25 critical step in forecasting peak demand. And so this

1 forecast gives greater weight to recent historical weather
2 patterns in order to better account for increasing
3 temperature trends.

4 This forecast also includes estimates of
5 incremental behind-the-meter PV and storage adoption in the
6 commercial new construction sector expected as a direct
7 consequence of the CEC's recently adopted Title 24
8 standards.

9 Finally, in coordination with the CPUC's latest
10 potential and goals study process we not only refreshed our
11 Additional Achievable Energy Efficiency Savings scenarios,
12 but we also, for the first time, developed scenarios around
13 potential building electrification impacts. We're calling
14 these "Additional Achievable Fuel Substitution."

15 The purpose of these additional achievable
16 scenarios is to demonstrate a plausible range of
17 incremental impacts that might occur from future standards
18 and programmatic efforts which, while reasonably likely to
19 occur in some form, have too much uncertainty around their
20 timing and implementation to be explicitly quantified and
21 embedded directly within our baseline forecasts. Next
22 slide, please.

23 This is our statewide baseline forecast of
24 electricity sales. The spread between the scenarios
25 reflects different assumptions around economic and

1 demographic activity, retail rates, climate change impacts,
2 as well as photovoltaic system and electric vehicle
3 adoption.

4 New behind-the-meter PV installations, including
5 those now required by Title 24, are expected to reduce
6 sales by about 38,000-gigawatt hours in the mid-case by
7 2035. Working in the other direction, electric vehicle
8 charging is expected to add more than 24,000-gigawatt hours
9 over the forecast horizon. Overall, mid baseline sales grow
10 at a rate of 1.1 percent annually, slightly higher than our
11 previously adopted forecast.

12 Now while these baseline scenarios alone do not
13 reflect the impact of additional achievable efficiency or
14 fuel substitution, some of our additional achievable
15 scenarios were intentionally designed to be paired with our
16 baseline forecasts. And such pairings are meant to create
17 managed forecasts which can be used for planning. Next
18 slide, please.

19 So here's an example, this is our managed annual
20 peak forecast for the California ISO.

21 PV additions have less of an effect on system
22 peak as the peak hour shifts later in the day when PV
23 output is reduced. But also load growth from electric
24 vehicle charging is not as significant since the bulk of
25 that charging is expected to occur outside of time-of-use

1 peak windows.

2 All scenarios begin from a weather normalized
3 estimate of 2021 peak load, which is higher than previously
4 forecast. A commonly used managed scenario includes the
5 mid baseline forecast paired with mid additional achievable
6 scenarios for both efficiency and fuel substitution. This
7 specific combination is depicted here by the solid blue
8 line with the triangle markers. And this scenario grows at
9 a rate of 0.9 percent annually, again slightly higher than
10 our previously adopted managed forecast.

11 All of these scenarios were presented and
12 discussed at various workshops throughout last year, with
13 final presentations at IEPR workshops on December 3rd and
14 December 16th. Next slide, please.

15 So my previous slide depicted a number of managed
16 scenarios, each comprised of different baseline and
17 additional achievable scenario pairings. This suggests
18 that the forecast is not a single forecast, but actually a
19 set of forecasts comprised of baseline and additional
20 achievable scenarios, each containing annual, hourly, and
21 peak projections. Additionally, our peak forecast has
22 different variants to account for extreme weather.

23 All of these projections have been docketed along
24 with a notice of availability, which describes the complete
25 set of forecast products being considered today for

1 adoption. For a specific planning purpose, the appropriate
2 selection of a baseline scenario, weather variant, and
3 additional achievable scenarios from among the entire
4 forecast set depends on the need of that specific use case.

5 There is an agreement between leadership at the
6 Energy Commission, the Public Utilities Commission and the
7 California ISO, referred to as the Single Forecast Set
8 Agreement, which describes the current commitments at each
9 organization to use a particular combination of forecasts
10 for a particular planning purpose. And for the sake of
11 transparency that agreement has been updated and will be
12 memorialized within Volume IV of the 2021 IEPR. Next
13 slide, please.

14 And finally I want to take just a moment to offer
15 my thanks, specifically to the load serving entities who
16 made the effort this year to provide detailed responses to
17 our IEPR data requests, to our stakeholders who took the
18 time to participate in our workshops for DR presentations
19 and results and provide feedback, to the numerous CEC
20 contributors across the entire Energy Assessments Division.
21 Developing the forecast is really a team effort, and
22 specifically to the handful of staff who stepped out of
23 their normal role this year and put in a lot of hours to
24 make sure we could present the forecast here today. And of
25 course to the EIPR team for their unwavering patience and

16

1 support.

2 And with that I'll conclude my presentation by
3 recommending that the Commission adopt the California
4 Energy Demand 2021 to 2035 Forecast.

5 CHAIR HOCHSCHILD: Thank you, Nick, appreciate
6 that. Noemi, do we have any public comments on Item 2?

7 MS. GALLARDO: Let me check. This is Noemi
8 Gallardo, the Public Advisor. If you would like to make a
9 public comment, please use the raised-hand feature on the
10 screen, it looks like a high-five. If you are on by phone
11 please press *9 to raise your hand, *6 to unmute.

12 I'm looking for hands. I do not see any, Chair.
13 We can continue.

14 CHAIR HOCHSCHILD: Okay, let's turn to
15 Commissioner discussion, starting with Vice Chair Gunda.

16 VICE CHAIR GUNDA: Thank you, Chair. I just want
17 to begin by just saying a big thanks to the forecasting
18 team as Nick generally noted, but I want to give credit to
19 Nick and Lynn specifically. And to a number of others who
20 worked really hard to step in to make this forecast happen,
21 given (indiscernible) of resources in terms of staff, but
22 also the changes and the last-minute requests a from number
23 of us, including myself. So I just want to say thank you
24 sincerely to Nick and the team for making this happen year
25 after year.

1 But also as Nick noted, thanks to the
2 stakeholders. I think without the stakeholders, especially
3 the LLCs, (indiscernible) participants in developing the
4 forecast as rigorously as we currently do is impossible.
5 So I just want to note thanks to all the stakeholders who
6 put in an enormous amount of time to help guide this
7 forecast. And bring it to the Commission for adoption in a
8 way that all of us are generally in agreement on where we
9 landed, so that's a huge boon to the process. I just want
10 to thank everybody.

11 I also want to specifically note Jeff Webers. As
12 Nick notes, we have CAISO, CPUC, CEC and CARB that meets
13 regularly on a weekly basis to go through the forecasting
14 improvements. That's a lot of effort done by the staff.
15 And want to note the leadership at CPUC, Simon Baker, and
16 Delphine Ho at CAISO for their leadership within their
17 organizations, helping pull this all forward. And
18 obviously the leadership in the Energy Assessments
19 Division, Aleecia Gutierrez and specifically Matt Coldwell
20 and Heidi Javanbakht. So overall it's a huge team effort
21 and I just want to say thank you and thanks to the IEPR
22 team as well.

23 I want to say a couple of things that are
24 important as we move forward that this is not a static
25 process, the forecasting. It has improved enormously.

1 There has been some process changes that have been
2 implemented, including what we now call a request window,
3 where there is an opportunity for a lot of our regular
4 collaborators to provide input on what changes are to be
5 made outside of the Commission's public meetings, which is
6 great. And I just want to commend the forecasting team for
7 that.

8 And also that has been more and more focused on
9 providing insights into how to plan for reliability, that's
10 a huge output. And again, thanks to Nick and the team for
11 providing that information internally, also to the
12 Appliances Office to help develop those stack analysis and
13 such. So there's a lot happening behind the scenes.

14 I'm also grateful for the staff to keeping me
15 updated regularly and just kind of helped me understand the
16 changes.

17 So with that I'm completely in support of
18 adopting the forecast and just commend the staff for all
19 the work they do and continue to improve our analysis to
20 help meet the goals of the state.

21 CHAIR HOCHSCHILD: Thank you, Vice Chair Gunda.
22 Are there comments from other Commissioners?

23 COMMISSIONER MCALLISTER: Yeah, I had a comment.

24 CHAIR HOCHSCHILD: Go ahead.

25 COMMISSIONER MCALLISTER: Great. Well, first of

1 all I wanted to just second all the thanks from Vice Chair
2 Gunda. And actually amplify those toward him, Vice Chair
3 Gunda, for your leadership helping this team take
4 increasingly well-defined and capable shape as we move
5 forward. And as you said these products are going to
6 continue to evolve and respond to the needs of the
7 reliability discussion and become increasingly
8 sophisticated and sort of data-rich. And I think that
9 helps the state and the west even begin to grapple with
10 these broader issues around reliability, more generally
11 even.

12 And just this work really does form from a
13 central platform for insights about our energy systems as a
14 whole, but particularly the focus has obviously been on
15 electricity. So anyway I'm in full support. I want to
16 thank the staff for also keeping me up to date and
17 answering questions when I have them.

18 And I guess among the whole group I just want to
19 particularly shout out to Matt Coldwell and wish him the
20 best as he heads over to the PUC and I think we'll all miss
21 him, but that's the nature of the beast. When you do good
22 work, you get noticed. And we have this broad multi-agency
23 team that will continue to function well, and firing on all
24 cylinders and it's a really nice to see, so good luck to
25 Matt.

1 CHAIR HOCHSCHILD: I second those comments about
2 Matt, thank you for your service.

3 Commissioner Monahan? Yeah, go ahead.

4 COMMISSIONER MONAHAN: Well, I'll be brief. I
5 just want to also say I really have appreciated the
6 evolution in the modeling on transportation, which is a
7 work in progress. I mean by 2035 what the world will look
8 like, there's a lot of speculation. And we're using good
9 data in partnership with the Air Resources Board on the
10 vehicle deployment side. But I do think like this is an
11 area of where we need to continually be creative and
12 recognize that our models are going to be imperfect,
13 because we can't prognosticate what the future will look
14 like. And if batteries in particular really continue on
15 this trajectory of price reduction, what that will mean
16 especially in the medium- and heavy-duty space. I think
17 it's just worth a lot more analysis and deliberation.

18 And just you know, Matt has been great. So,
19 Matt, I wish you all the best at the PUC. We're really
20 going to miss you. And Heidi has been really helpful and
21 now Quentin is a thought leader in this space. So just
22 given as you said, Vice Chair Gunda, the opportunity for
23 resilience, more distributed energy resources brought in
24 and how do we make sure that transportation is part of
25 that, especially in the medium- and heavy-duty space. Just

21

1 a lot of rich topics for an analyst for, I would say at
2 least a decade to come, good job prospects go into that
3 space.

4 So I look forward to approving this and just
5 again, appreciate the team and their thoughtful partnership
6 on this.

7 CHAIR HOCHSCHILD: Thank you.

8 Commissioner Douglas, go ahead.

9 COMMISSIONER DOUGLAS: I just wanted to very
10 briefly add my thanks to the team, and to Commissioner
11 Gunda. This is one of our core work products. It's a
12 critically important effort, the level of internal analysis
13 and also external coordination to bring forward a product
14 that really is what the state needs. It is easy to
15 underestimate, and this team's done it again. And I just
16 appreciate it.

17 CHAIR HOCHSCHILD: Go ahead, Vice Chair Gunda.

18 VICE CHAIR GUNDA: Yeah, I wanted to say an
19 additional thanks to Matt, but I didn't know if I should.
20 But now that we talked about Matt leaving to CPUC or moving
21 to CPUC or another family I just want to say, Matt, you've
22 done incredible work.

23 I think, Matt, my close association with you over
24 the last four years working together I just appreciate your
25 thoughtfulness, your integrity, and just your ability to

1 develop relationships. We'll miss you a lot, but hope you
2 being at the CPUC will help from the other end in improving
3 our relationships and working more and more
4 collaboratively. So sincerely we'll miss you. All the
5 best, I look forward to working with you in your new role.
6 Thank you.

7 CHAIR HOCHSCHILD: Thank you, Vice Chair.

8 With that, Vice Chair Gunda, would you mind
9 moving Item 2?

10 COMMISSIONER GUNDA: Absolutely, Chair, I move
11 Item 1.

12 CHAIR HOCHSCHILD: And Commissioner McAllister,
13 would you be willing to second Item 2?

14 COMMISSIONER MONAHAN: I second Item 2.

15 CHAIR HOCSCHILD: Okay. All in favor say aye.
16 Vice Chair Gunda?

17 VICE CHAIR GUNDA: Aye.

18 CHAIR HOCSCHILD: Commissioner McAllister?

19 COMMISSIONER MCALLISTER: Aye.

20 CHAIR HOCSCHILD: Commissioner Douglas?

21 COMMISSIONER DOUGLAS: Aye.

22 CHAIR HOCSCHILD: Commissioner Monahan?

23 COMMISSIONER MONAHAN: Aye.

24 CHAIR HOCSCHILD: And I vote aye as well. Item
25 2 passes unanimously. My thanks again, congrats to the

1 staff for all their work.

2 And let's turn now to Item 3, Information Item on
3 Russell City Energy Center Joint Agency Working Group
4 Regarding the Steam Turbine Explosion in Summer of 2021
5 Operations.

6 MS. HUBER: Happy New Year, and good morning,
7 Chair, Vice Chair and Commissioners. My name is Elizabeth
8 Huber. I manage the Office of Compliance Monitoring &
9 Enforcement in the Siting, Transmission, and Environmental
10 Protection Division.

11 With me this morning to present on this item is
12 Nika Kjensli, Program Manager with the California Public
13 Utilities Commission's Electric Safety and Reliability
14 Branch. And Kelly McAdoo, City Manager for the City of
15 Hayward. We also have here from STEP's Engineering Office,
16 Manager Geoff Lesh. And from the Chief Counsel's Office,
17 Assistant Chief Counsel James Qaqundah. Also present is
18 CPUC's Lead Engineering Investigator Jim Cheng, STEP Deputy
19 Director Shawn Pittard, and his CPUC counterpart, Lee
20 Palmer, Director of CPUC's Safety and Enforcement Division,
21 who are also available to answer questions at the end of
22 the presentation.

23 We're here in response to your July 15, 2021,
24 directive to provide updates on the ongoing investigation
25 concerning the May 27th, 2021 steam turbine overspeed

1 explosion and fire at the Russell City Energy Center. And
2 to update you on the multi-agency communication and
3 coordination process that will ensure that the Hayward
4 community receives pertinent, real-time health and safety
5 information.

6 Together, CPUC Program Manager Kjensli and
7 Hayward City Manager McAdoo and I will present this non-
8 voting, informational item about the facility's operation
9 in a temporary simple-cycle mode during the summer of 2021,
10 the efforts of the CPUC and CEC regarding the ongoing
11 investigation, and the activities of the Joint Agency
12 Working Group with the City of Hayward and the Hayward Fire
13 Department. Next slide, please.

14 To refresh your recollection, I'd like to provide
15 background and context for today's update. On May 27th,
16 2021, Russell City Energy Center experienced a mechanical
17 failure of a steam turbine generator that resulted in an
18 explosion that hurled dozens of pieces of equipment off the
19 project site and resulted in an onsite fire requiring
20 response by the Hayward Fire Department. The steam turbine
21 generator was damaged.

22 In addition to the immediate public health and
23 safety threat this incident resulted in a loss of 600
24 megawatts of generating capacity. In response, Russell
25 City Energy Center had submitted a project change petition

25

1 for a temporary modification to operate the undamaged
2 combustion turbine generators in a simple-cycle mode,
3 generating up to 350 megawatts when called upon. This
4 petition was approved by an Order of the Commission at the
5 July 15, 2021, Business Meeting.

6 In addition to approving the requested change the
7 Commission Order required Russell City Energy Center staff
8 to meet with CEC staff and the Hayward City Fire Department
9 to discuss any needed modifications to their standard
10 operating procedures for first responders and to implement
11 when responding to onsite incidents. Next slide, please.

12 Along with the Commission Order, the Bay Area Air
13 Quality Management District also approved a temporary air
14 permit allowing Russell City Center to operate in simple
15 cycle through November 9, 2021. With these approvals and
16 modifications in place the CEC staff verified the Russell
17 City Energy Center complied with all laws, ordinances,
18 regulations, and standards and issued a certificate of
19 completion, allowing the facility to operate under a
20 temporarily modified license.

21 Between August 10th and September 23rd, 2021, the
22 California Independent System Operator called upon Russell
23 City Energy Center on 11 occasions for a total of 103
24 operating hours to help meet summer peak demand.

25 During the month of October 2021, the facility

1 started up on seven other occasions specific to Black Start
2 and safety valve testing only. Next slide, please.

3 To investigate the Russell City Energy Center
4 incident, both the CEC and CPUC inspection units
5 established a Joint State Agency Investigation team. The
6 joint team's efforts to date include meeting weekly since
7 October 2021, inspecting the explosion and fire sites on
8 nine different occasions to date, reviewing and
9 independently analyzing Structural Integrity Associates'
10 Root Cause Analysis Report as commissioned by the power
11 plant owner, Calpine Corporation. Submitting formal
12 Requests for Information for more than 100 documents
13 including maintenance reports, operation records, and other
14 agency site visit reports such as from the Occupational
15 Safety and Health Administration, then reviewing and
16 analyzing those 100 plus documents and reports.
17 Interviewing more than a dozen onsite witnesses and first
18 responders, verifying that more than a dozen smaller pieces
19 of equipment were hurled from the facility in addition to
20 the two large pieces of equipment as reported at the July
21 business meeting. And hiring third-party independent
22 expert consultants.

23 As a result of these efforts, the joint team has
24 recently notified Russell City Energy Center and its owner
25 of our intent to conduct an additional onsite inspection of

1 the facility in early February. During the additional
2 inspection, the joint team and our independent consultants
3 from Aspen Environmental Group and West Peak Energy will
4 conduct a thorough examination and independent review of
5 the facility and independently assess the findings of the
6 Root Cause Analysis and supplement any gaps in RCA Report.
7 The joint team will focus its site inspection on the
8 equipment involved in the accident, the heat recovery steam
9 generator system, and any facility operations and,
10 maintenance, and management practices that may have
11 contributed to the potential of this incident to occur.

12 Now, I would like to introduce CPUC Program
13 Manager, Nika Kjensli. She will provide additional
14 information about information specific to the CPUC's work
15 to support the gap audit of Russell City Energy Center.
16 Next slide, please.

17 MS. KJENSLI: Good morning, everyone. Good
18 morning, Chair and Commissioners. My name is Nika Kjensli,
19 and I'm going to talk briefly about the Electric Safety and
20 Reliability Branch of the Safety and Enforcement Division
21 at the CPUC. And I'm also going to go over some components
22 of our audit process.

23 So the Electric Safety and Reliability Branch of
24 the Safety and Enforcement Division, what we do is we
25 enforce CPUC rules and regulations to ensure that power

1 plants and utility companies run a safe and reliable
2 system, electric system.

3 We regularly conduct audits and inspections and
4 investigate safety incidents as well as system problems,
5 such as reliability concerns over the summer. And we
6 advise the CPUC on these matters. For CPUC-jurisdictional
7 power plants and electric generation facilities, we ensure
8 compliance with General Order 167-B. Our audits are a main
9 component of how we enforce GO 167-B. There are three
10 phases to our audit process that I'd like to briefly go
11 over with you all, just so that you're aware of how we
12 conduct it and then also understand how the CEC folks that
13 are going to be joining us on this task, what they are
14 going to be observing as well.

15 So we have a planning phase part of our audit.
16 This takes place -- this is when our engineers, they
17 prepare for that audit through research and review of a
18 selected power plant. And then we review their outage
19 history, safety-related incidents that have occurred at the
20 plant in the past, performance data as well as their
21 maintenance and operation summary plans, and any procedures
22 that are relevant.

23 If there's any problems, we will also take a look
24 at those problems that they've had in the past and we
25 usually follow up with some data requests and inquiries to

1 plant staff about those.

2 The second phase of our process is really a plant
3 visit, and this is where we actually go onsite to the
4 facility, and we spend about a week there looking over the
5 plant to evaluate its programs and its procedures for
6 compliance with GO 167-B. This where we conduct the bulk
7 of the field work and looking at the plant's equipment.
8 And then also doing any sort of inspections, and then also
9 interviewing plant staff and personnel that are onsite.
10 And actually reviewing real time their operations and the
11 practices that these plant staff carry out.

12 The final phase is after we've conducted the
13 actual onsite visit, we look at the reports and we draft a
14 report and also any follow-up actions with the plant and
15 with plant staff. So this includes looking at and
16 drafting our findings into a confidential report that our
17 team reviews to show the compliance with GO 167-B.

18 And then we actually issue a note, the report to
19 the plant staff and ask them, give them 30 days to respond.
20 And this report, it has all of our findings so if there's
21 any corrective actions that we want them to implement those
22 are noted in there and they have 30 days to respond to show
23 us that they are either in compliance or that they have
24 opened up a work order to ensure that that will be
25 resolved.

1 We assign an engineer that issues this
2 preliminary report, and then a final report once it's been
3 reviewed by both our staff, our management and then also
4 the plant staff and management.

5 We do post these on our website so that folks and
6 the public have an opportunity to review them. If there's
7 anything that's redacted, of course, we do publish a public
8 version of it on our website, so anything that's
9 confidential is shared just with us.

10 So for our upcoming review of the Russell City
11 Energy Center, we're going to be basically conducting a
12 similar phase. We've already been in the planning phase.
13 And as Elizabeth mentioned we've sent out along with CEC
14 staff a ton of data requests and document requests, have
15 done a lot of interviews with plant staff. We do have this
16 upcoming audit scheduled for the week of February 7th. And
17 then following from that we will be producing a report, as
18 will the CEC a separate report of course that goes over our
19 findings.

20 So we are mostly going to be ensuring compliance,
21 again with GO 167-B, looking at any sort of contradictions
22 or whatnot that appear at the plant versus what was
23 reported in the Root Cause Analysis Report. And then
24 conducting a thorough review of the facility and the
25 equipment and their operation procedures.

1 And now that was a brief overview of the SRB
2 (phonetic). I'll turn it back to Elizabeth so that she can
3 continue with the presentation.

4 MS. HUBER: Thank you, Nika. Next slide, please.
5 And I think we need to move to one more slide, please.

6 I would like to now focus on the work of the
7 Joint Agency Working Group, a partnership established by
8 the CEC with the City of Hayward and includes
9 representation from the CPUC and the Hayward Fire
10 Department. The working group has been meeting every two
11 weeks since July 2021 and has successfully implemented
12 and/or supported several initiatives including the
13 establishment of a Local Safety Action Plan.

14 At this time I'd like to invite Hayward City
15 Manager, Kelly McAdoo, to provide for you an overview of
16 these activities.

17 MS. MCADOO: thank you Elizabeth. And good
18 morning, Commissioners, it's good to see all of you again.
19 Thank you for having me this morning and for continuing to
20 include the city of Hayward in this important process and
21 investigation.

22 I just wanted to add on the upcoming audit that
23 will be occurring in February, our fire department
24 hazardous materials staff members will be participating in
25 that audit, along with the CPUC and CEC staff so we're

1 grateful for that partnership.

2 We have been continuing to work as Elizabeth
3 mentioned with the Joint Agency Working Group and have had
4 some specific conversations with local Calpine staff to
5 work on developing what we're calling a local Safety Action
6 Plan and also working on some additional follow-up actions
7 that were discussed by the Commission last July.

8 We did request with Calpine, and they have now
9 completed a post incident analysis of hazardous materials
10 that were released during the explosion and the fire so
11 that we could determine potential exposures for fire
12 department personnel and other personnel on site. We do
13 have a copy of that report and City staff are reviewing
14 that.

15 And then we are working with Calpine to determine
16 the appropriate mechanisms for our compensation, for our
17 repairs, and other damages resulting from the incident.

18 In terms of the local Safety Action Plan, this is
19 sort of forward looking and what we will be continuing to
20 do as we move forward.

21 the first element of that is that Calpine will
22 notify the fire department in advance with hopefully at
23 least two weeks' notice, maybe more, of any planned
24 emergency drills or tabletop exercises that would be
25 performed in compliance with their emergency action plan.

1 And that Calpine will coordinate with the fire department
2 on at least two general emergency drills and one mock
3 rescue drill annually.

4 And then that Calpine will also invite the fire
5 department to participate in any roundtable discussions
6 that take place following those drills.

7 I will mention that consistent with directions
8 from the Commission las summer when Calpine was dispatched
9 by CALISO they did notify both the City Manager's Office
10 and the Fire Chief in advance of all of those ramp-ups and
11 we will continue that process going forward.

12 We intend to have annual meetings with the city,
13 Calpine, and fire department staff to discuss any
14 operational changes that may be occurring at the plant.
15 And then to continue to coordinate on any outstanding
16 issues.

17 And then as needed conduct any community outreach
18 or tours during the maintenance season of the plant.

19 In terms of community partnerships we are still
20 working on the possibility to acknowledge the history
21 behind the naming of Russell City and the displacement of
22 that community. I did have a preliminary meeting with some
23 of the descendants of that community. It was very
24 interesting, just wanted to share some of that preliminary
25 feedback. They indicated that there was some irony as that

1 was a community that was very energy insecure and didn't
2 have reliable energy for a power plant to now be named
3 after that community. And so we were going to continue
4 that conversation about what we can do to continue to
5 acknowledge the impact of what happened to that Russell
6 City community and how we move forward going in, in the
7 future. And so just continuing that conversation.

8 And just want to thank Calpine for their openness
9 and partnership on that. We will be having probably a
10 meeting with Calpine staff and some of the Russell City
11 descendants in the near future.

12 And then I just wanted to take a moment and thank
13 all of the Commissioners for their visits this past summer
14 and also for just ensuring that this incident continues to
15 get the attention that it needs. And I do want to thank
16 Elizabeth, Nika, and the CEC staff and the CPUC staff who
17 have all dedicated countless hours to ensuring that this
18 incident has been investigated thoroughly and completely.
19 And we are incredibly grateful for that and for the
20 continued work on it. And so with that I will hand it back
21 over to Elizabeth. Thank you.

22 MS. HUBER: Thank you, Kelly. And we concur. We
23 thank you for your collaboration over the last six months.

24 With that, this concludes our presentation. With
25 too many names to mention I would like to thank everyone

1 for their hard work to date and the continued commitment to
2 understanding what caused this major incident so we can
3 assure the community that this will not happen. There's
4 still a lot of work to do and the team is available to
5 answer any questions. Thank you. Next slide, please.

6 CHAIR HOCHSCHILD: Thank you, Elizabeth. Oh, is
7 there more?

8 Ms. Huber: Nope, that was it.

9 CHAIR HOCHSCHILD: Okay, thank you, Elizabeth.
10 Let's turn now to Commissioner discussion,
11 Commissioner Douglas.

12 COMMISSIONER DOUGLAS: Yes, thank you. And I
13 wanted to thank the staff and CPUC and certainly the city,
14 Russell City, just for this really great set of
15 presentations. I just wanted to -- City of Hayward, I'm
16 sorry -- I just wanted to reflect that it's been a long
17 road since this summer. And I really appreciated the visit
18 that I had to the power plant and with the city and just
19 having the opportunity to reset and think through the
20 communication, the relationships, the efforts that we all
21 need to put forward here. And I know that the
22 collaboration since some of those meetings, and even
23 leading up to some of those meetings, has been very strong
24 and I really appreciate it.

25 I know that the staff investigation separate from

1 the Root Cause Analysis is also proceeding and I've
2 probably got a question or two about that as we go, but
3 without a doubt these regular updates help us and provide
4 the city and its residents and other stakeholders with the
5 visibility into all of our efforts around this incident.

6 And I also wanted to call out the coordination
7 between the Energy Commission team and the CPUC staff. And
8 I know there's been a lot of work behind the scenes to
9 improve the communication between these two programs. And
10 also, beyond just communication looking at how to really
11 leverage the strengths of what both what the Energy
12 Commission brings in this case and with power plants under
13 our jurisdiction, and what the CPUC, what capabilities and
14 resources the CPUC brings in this area.

15 So I certainly look forward to the conclusion of
16 this investigation and learning more about its findings.
17 And appreciate the swift work and hard work between the
18 agencies, the city, and Calpine to enable the Energy Center
19 to be ready to restart in simple-cycle mode in August last
20 summer when we really did need that electricity and to
21 support summer reliability.

22 I guess, just in terms of a question, Elizabeth,
23 if you could speak a bit more about the focus and timing of
24 the staff investigation and what we should expect to see
25 from that, that would be really helpful.

1 MS. HUBER: Absolutely. I'm also going to ask
2 our lead mechanical engineer and manager, Geoff Lesh, to
3 join in. Our timeline is as he's getting online, is to the
4 first week of February. We have notified Calpine and
5 Russell City that we'll be down there the week of February
6 7th, so that entire week. Our independent consultants from
7 Aspen and West Peak Energy will be there, along with our
8 colleagues at the CPUC. And as I mentioned in the report
9 we are going to be looking specifically at the damaged
10 equipment, the process, the design, from the Herzigs
11 (phonetic) to the steam turbine generator. And then
12 looking at all the maintenance and operation practices that
13 are set down there.

14 Geoff, do you want to get into a little more of
15 the nuts and bolts?

16 MR. LESH: I think you summarized it well,
17 Elizabeth. The root cause analysis, I think as Elizabeth
18 mentioned earlier, focused on equipment and the sequence of
19 equipment failures that contributed to the overspeed event
20 that led to the accident. We're continuing to look into
21 the -- well we're validating those aspects of it as well as
22 looking into, as Elizabeth mentioned, the total operations
23 package that may have helped set the stage for these
24 failures, to lead to the accident that they did.

25 So in that sense this gap analysis and the onsite

1 visit will allow us to discuss and view operations
2 practices, maintenance practices, and things that weren't
3 directly addressed in the root cause analysis. And so we
4 want to supplement that so we get a total picture and then
5 we can look at the proposed changes to the power plant and
6 bringing it up to see that that package is sufficient and
7 complete to give us the best chance of never seeing a
8 recurrence.

9 COMMISSIONER DOUGLAS: Thank you. And in the
10 spirit of never seeing a recurrence maybe a last question,
11 what are the steps being taken to consider the possibility
12 that other power plants under our jurisdiction or in
13 California -- we'd have a similar enough design that we
14 should notify them or Calpine should, if it's one of their
15 facilities, to look into improvements?

16 MS. HUBER: That's a great question, Commissioner
17 Douglas. And without stealing their thunder we are
18 collaborating with the CPUC on a joint letter. And if Lee
19 or Nika would like to speak to that specifically, since
20 they took the initiative to do the first draft.

21 MS. KJENSLI: Sorry, this is Nika Kjensli. I
22 couldn't find my unmute button. Yes, as Elizabeth said, we
23 are conducting or we are in the rough draft phases of we've
24 kind of compiled a list of plants that meet those operating
25 the same, they have the same operational characteristics as

39

1 Russell City Energy does. And we've identified those
2 plants and the CPUC and CEC are and we're drafting a letter
3 that will reference them back to some of the public
4 information that Calpine made regarding the incident and
5 what could potentially be a -- what we've noticed is a
6 notice to potential safety concern that we plan to send out
7 to all those facilities to kind of just notify them of the
8 incident.

9 We're in no way endorsing that that is the actual
10 root cause at this time because, as you all know, our
11 investigations are open and ongoing at this time, and we
12 still have our upcoming audit scheduled for the 7th of
13 February. So we don't want to conclude anything that will
14 come out of that, but we do want to give them a heads-up,
15 so to say, of this concern and of the incident and what
16 happened in the equipment that was involved in that and
17 leave it up to the generators to process that and then make
18 any sort of adjustments or amendments to their facilities
19 that would ensure that something like that doesn't happen
20 at their plants.

21 COMMISSIONER DOUGLAS: All right, well thank you
22 all for the work. I think the idea of the regular drill
23 with the city to just make sure there's preparation for any
24 event that could ever occur there, just thinking through
25 our practices with regard to other local jurisdictions,

40

1 doing that outreach to potentially similarly situated power
2 plants, any of that is just really good to see. So I think
3 at this point I'll step back and see what questions others
4 have. Thank you.

5 CHAIR HOCHSCHILD: Thank you, everyone. Unless
6 there are other comments from Commissioners.

7 Oh, go ahead, Commissioner Monahan. Please.

8 COMMISSIONER MONAHAN: Well, first I want to
9 thank City Manager McAdoo for your participation and the
10 Fire Chief and the Mayor. I just feel like you guys have
11 been really a team in working with us to ensure that your
12 community is safe. And I know I speak on behalf of all the
13 Commissioners that we were just appalled about the
14 situation. And no lives were lost, but they could have
15 been. We recognize that. And so ensuring that we're doing
16 all we can to make communities safe as we provide power is
17 just sort of a core value of all of us.

18 I am curious, I'm glad about the gap analysis.
19 I mean, one of the challenges is that the root cause
20 analysis of course is confidential, so it's shared, not
21 public. And I appreciate that Calpine did share it with
22 us, the city, others, that there has been that
23 communication. I'm curious, Elizabeth, in terms of the gap
24 analysis, what the confidentiality is on that? Is it a
25 docket? I mean, is it available to the public upon

1 request? What's the --

2 MS. HUBER: Historically, and I see Linda jumping
3 in, historically we do docket it when it's final and
4 approved. But Linda, I'll turn it over to you.

5 MS. BARRERA: Good morning, Commissioner Monahan,
6 Commissioners. I'm Linda, with the Chief Counsel's Office.

7 Calpine for Russell City has submitted about four
8 applications for confidentiality, but the Chief Counsel's
9 Office is reviewing a final determination as the
10 confidentiality of some of part of the documents has not
11 been completed. Usually the process is that the Applicant
12 for requesting confidentiality submits an application to a
13 confidentially docket. And an attorney in our office with
14 my assistance reviews that request. We apply the law and
15 then we make a recommendation to the Executive Director who
16 then submits the letter or replies to the application.

17 So at this time a determination has not been
18 made.

19 MS. HUBER: And, Commissioner Monahan, that's
20 specific to Calpine's Root Cause Analysis Report. So to
21 answer your question the work that the Commission does --
22 and I believe I won't speak for the CPUC -- but the gap
23 analysis, we are coordinating together. But we're doing
24 two separate final gap analysis reports and ours
25 historically have always been docketed once it's been

1 approved for public consumption.

2 COMMISSIONER MONAHAN: Yes, as we learn more just
3 if there's any question about that, if you could bring that
4 back to the Commissioner Board. I mean a business meeting.

5 MS. HUBER: Absolutely.

6 COMMISSIONER MONAHAN: I don't know why I'm
7 spacing on that word. That would be great. I think we all
8 are very intensely curious on that about that and really
9 want to do all we can to be transparent with the public,
10 with the city, and with other stakeholders.

11 MS. HUBER: Oh, absolutely.

12 CHAIR HOCHSCHILD: Are there other Commissioners
13 wishing to make comments? If not what I'd like to do -- oh
14 go ahead, Vice Chair Gunda, please.

15 VICE CHAIR GUNDA: Yeah, I'm going to keep it
16 very short. I think both Commissioner Douglas and
17 Commissioner Monahan raised a number of things that are
18 important to all of us.

19 So specifically again, thank you to City Manager
20 McAdoo, Mayor Halliday and Chief Contreras for all the work
21 that you've done in engaging with us.

22 I think I just want to leave with one sentiment.
23 I think after the incident, as Commissioner Monahan
24 mentioned, it was a lot of we were all stressed out. We
25 were all unhappy about the way it all played out. That's

43

1 kind of putting it mildly. And we all kind of tried to
2 figure out the best course forward. I think the best
3 course forward was the spirit of ensuring that we build
4 trust and help collaborate. And I'm incredibly thankful to
5 the staff for helping build that trust and collaboration
6 and for Calpine's openness in being a part of that process.

7 But as Commissioner Monahan mentioned in her
8 comments, I think that trust has to be continued to apply,
9 and the collaboration has to continually improve, and
10 transparency is a critical element of all that. So I just
11 hope that we continue to push forward for that and raise
12 any issues that might come about along the way. And I
13 think one of the promises we made to the community,
14 especially the City of Hayward, is that we're going to
15 ensure and do everything we can to make it and maximize the
16 transparency. I understand that there are sometimes things
17 that needs to be kept confidential, but let's just give our
18 best effort. And to you and Nika and your entire team,
19 thank you so much for all the efforts that you put in to
20 make this an example on how to do things moving forward, so
21 thank you so much.

22 CHAIR HOCHSCHILD: Thank you, Vice Chair.

23 I think at this point all the Commissioners have
24 been to visit the facility. I will share, again, I think
25 the important thing here is that we all work together to

1 prevent an incident like this from ever happening again. I
2 did have the opportunity to go to that residential group
3 home facility and saw the hole in the ceiling where this
4 chunk of metal had flown through their kitchen. And we're
5 just extremely fortunate not to have any fatalities or
6 injuries. And obviously all committed to, during the
7 weekend, to prevent such an incident from happening again.

8 Under our rules we typically don't take public
9 comment on non-voting items. However, today I just want to
10 make an exception to that and open up the line in case
11 there are any members of the public wishing to speak or
12 anyone who's already spoken who'd like to make an
13 additional comment before we close this item, given the
14 importance of this issue.

15 So Madam Public Advisor, can you just open up the
16 line and see if anyone else would like to make comments on
17 this item?

18 MS. GALLARDO: Yes, definitely. Thank you,
19 Chair. This is Noemi Gallardo, Public Advisor. If you
20 would like to make a public comment, please use Zoom's
21 raised-hand feature, which looks like a high-five on the
22 screen. If you are on by phone, you can press *9 to raise
23 your hand and then *6 to unmute.

24 I do see a couple of hands raised. I will begin
25 with Claire Warshaw. Claire, a reminder to please restate

45

1 your name, spell your name and indicate your affiliation,
2 if any. And your line is open, you may begin.

3 MS. WARSHAW: Hi, my name is Claire Warshaw. I'm
4 a member of the public.

5 The question I have regarding this incident is
6 that this power plant was in a populated area. And I know
7 hydrogen power plants, things like that are conceptual
8 right now for probably a lot of planners and designers. Do
9 you think that it's possible that they will make some rules
10 about power plants being near residents, so that there's no
11 danger like this for nearby homes and businesses?

12 That's, I guess, just food for thought. I know
13 you don't have to answer my question, but I do think it
14 might be good, especially in terms of future power plants
15 to think about how these things could happen easily the
16 same so that could be prevented, I guess, with a barrier
17 and land or something like that. That's my comment, that's
18 it thanks.

19 CHAIR HOCHSCHILD: Yeah. I'll just speak briefly
20 to that to remind everyone we are all operating under SB
21 100, which requires the state to move to 100 percent
22 carbon-free electric generation we're about two thirds of
23 the way there at this point. And, obviously, as you move
24 to wind and solar and geothermal and hydro and storage, the
25 thermal fleet over time will reduce.

1 Now, it's not to say there's no risk with any of
2 those others, every technology has some risk, but this kind
3 of thing is not something we see with many those other
4 technologies. But again that's over time. So let's go to
5 the next comment.

6 Thank you, Claire, for that comment.

7 MS. GALLARDO: All right, next is Melissa Yu. A
8 reminder to please restate your name, spell your name, and
9 indicate your affiliation if any. Melissa, your line is
10 open, you may begin.

11 MS. YU: Hi, Commissioners. My name is Melissa
12 Yu. I am with the Sierra Club and I'm here today -- well
13 first of all I want to thank you for this conversation. I
14 would like to say that the facility should not be allowed
15 to operate as this investigation goes on. The facility is
16 now actually operating, from what we know, at a lower than
17 permitted efficiency level. And they shouldn't be allowed
18 to operate until they fix the turbines that were damaged by
19 the explosions. The residents of Hayward are already
20 disproportionately impacted by pollution. And Hayward
21 actually has hotspots for, I'm sure as you all know, for
22 asthma and the fatalities associated with the air
23 pollutants related to vehicle emissions and also with the
24 power plant emissions.

25 And on top of that, as you all know, we are

1 already locked into the climate crisis for at least the
2 next three decades. And we have also a lot of extreme
3 weather events that we need to avoid that are heavily
4 affecting frontline and low-income communities of color.

5 So we ask you to, and urge you, not to allow the
6 facility to continue to operate until these turbines are
7 fixed. And we do appreciate the time that staff and this
8 Commission is taking to investigate this. Thank you.

9 MS. GALLARDO: Thank you, Melissa.

10 MS. HUBER: If it's okay, I just wanted to
11 comment that the facility, the last time it was dispatched
12 was September 23rd, Melissa. And there's an expiration on
13 their temporary permit to run in simple-cycle mode and that
14 expired on November 9th, so it has not operated since the
15 end of October.

16 MS. GALLARDO: This is, Noemi. Thank you,
17 Elizabeth, for the clarification.

18 Chair, I do not see any other hands raised at
19 this time.

20 CHAIR HOCHSCHILD: Okay, and then I just did want
21 to offer the opportunity for any of the folks who've spoken
22 already, if they have any -- Kelly or others -- any
23 additional comments? (No audible response.) Okay, seeing
24 none we'll conclude this item.

25 Thank you all for the work. Elizabeth, thank you

1 for all your work on this item today.

2 Let's turn now to Item 4, Information Item on the
3 Draft Order to the PUC on Supply-Side Demand Response.

4 Erik Lyon.

5 MR. LYON: Hello, Chair and Commissioners. My
6 name is Erik Lyon from Vice Chair Gunda's Office. And I
7 will be presenting an informational item on the Draft
8 Interim Report to the CPUC on Demand Response Qualifying
9 Capacity. Next slide, please. Thank you.

10 Demand Response, or DR, is the practice of
11 reducing electricity consumption when it is expensive and
12 polluting, particularly during times of great strain, and
13 can include shifting that consumption to other times when
14 it is relatively inexpensive and clean as shown in the
15 diagram.

16 DR provides many benefits, including grid
17 reliability, avoided costs of high-priced energy, reduced
18 fossil fuel consumption, alignment of electric demand with
19 renewable availability, and lower need for new power plants
20 and transmission lines. Next slide, please.

21 Last year the CPUC asked the CEC to investigate a
22 number of issues that can really be summed up by the
23 question, "What is the best way to measure DR's
24 contribution to reliability?" Or in more technical terms,
25 "What is the capacity value of a DR resource?" The CPUC

49

1 has been working on this question for a number of years and
2 there is no perfect solution, in part because you first
3 must estimate a customer's behavior in the absence of a DR
4 event, which can be challenging on its own, and then apply
5 those estimates to uncertain future conditions.

6 The CPUC asked the CEC to form a working group,
7 which I will talk about next, and CEC staff have developed
8 a report containing findings and recommendations from this
9 process that we're hoping to submit for adoption in its
10 final form next month. Next slide, please.

11 CEC staff spent much effort ensuring a robust
12 stakeholder process with weekly meetings that were open to
13 the public and included utilities, DR and storage
14 providers, energy consultants, and staff from the CPUC,
15 California ISO, and CEC.

16 The process kicked off with a workshop in July.
17 To begin, we created two working groups: one to develop
18 principles to evaluate candidate methodologies, and a
19 second to begin cataloguing and fleshing out the various
20 proposals to be evaluated. These met on alternating weeks,
21 but in practice most stakeholders joined both working
22 groups, meaning they were participating every week.

23 When it became clear that it was time to bring
24 the work of the two groups together, we merged them into a
25 single combined working group. It was about this time that

1 stakeholders brought some issues to our attention that made
2 us rethink our process and eventually decide to pursue an
3 interim solution, but I will return to that point later.

4 Next slide, please.

5 We organized our findings into three categories.
6 First, we found a set of interrelated challenges for DR to
7 participate in capacity solicitations and to support in
8 California's electric grid reliability. While the CPUC
9 decision requesting the CEC working group did not address
10 all these directly, we have found they must be addressed
11 holistically to allow the DR market to reach its full
12 potential.

13 Second, as I alluded to before, the original
14 timeline planned turned out to be infeasible for making
15 actionable, permanent recommendations for RA compliance
16 year 2023.

17 And third, we found that two stakeholder
18 proposals were viable for temporary adoption and can
19 materially contribute to California's near-term
20 reliability.

21 I will now cover each of these categories in
22 additional detail. Next slide, please.

23 The challenges identified here come from both
24 background in the CPUC's decision and from stakeholder
25 feedback in the working group itself. The first issue with

1 crediting really informs the CPUC request for reexamining
2 the qualifying capacity methodology, which is why we've put
3 it first here. Crediting refers to the practice of
4 treating certain IOU resources, which make up the majority
5 of Demand Response capacity in California as a reduction in
6 demand rather than as a truly supply-side resource. In the
7 language of the Resource Adequacy program these resources
8 are not shown on supply plans and are not subject to the
9 ISO's reliability rules. CEC staff agree with the ISO that
10 these supply-side resources should accordingly be shown on
11 supply plans.

12 Second, the QC methodology is at the heart of the
13 CPUC's ask to the CEC. The current QC methodology is based
14 on the Load Impact Protocols, or LIPs, and the idea is to
15 apply actual measured load impacts to conditions when
16 reliability needs are greatest. The CPUC has stated
17 unequivocally that this methodology is intended to reflect
18 DR resources' contribution to reliability. While we agree
19 with that assessment, we also recognize that the approach
20 has significant room for improvement to do so, especially
21 for resources with variability and other limitations like
22 Demand Response. CEC staff see improving the methodology
23 to better reflect contribution to reliability to be a core
24 goal of the working group.

25 Third, there are two sides to the issue with

1 incentive mechanisms. On the one hand, the penalty for
2 resources that provide capacity was not designed for
3 resources with variability and limitations like DR. On the
4 other hand, the vast majority of DR in California has no
5 performance incentive mechanism in capacity markets, either
6 because they are credited as I mentioned before, or because
7 DR resources can be grouped into aggregations below the
8 threshold for the penalty to apply. So while we do not
9 think the current penalty is appropriate, we believe some
10 incentive mechanism is needed.

11 Fourth, "settlements" refers to the actual
12 calculations of load impacts in the ISO's energy markets.
13 Critically, to settle Demand Response transactions we must
14 first estimate Demand Response participants' load in the
15 absence of the event, this is known as a baseline. Until
16 recently there was no appropriate baseline for weather-
17 sensitive resources like smart thermostat programs. We
18 believe that before we can measure a contribution to
19 reliability, we must be able to measure the load impacts of
20 individual Demand Response events.

21 We note that the California ISO has introduced a
22 comparison group methodology that meets these criteria, but
23 it does need to be implemented successfully before it can
24 fill this role.

25 Last, but certainly not least, stakeholders have

1 been clear that this process is difficult and time-
2 consuming. And we found these perspectives credible and
3 affirm that the process is likely undermining California's
4 ability to deploy and rely on DR as a clean resource.

5 Additionally, the process requires performance
6 data that can be two years old by the year it is contracted
7 for, so the values cannot be adjusted as portfolios change.
8 Whether the capacity grows or shrinks, California has an
9 interest in the most accurate, up-to-date information on
10 its DR portfolio. Next slide, please.

11 The CEC working group encountered two issues with
12 the resource adequacy process timeline. The first is that
13 the QC process for Resource Adequacy year 2023 was already
14 underway by the end of 2021. And by the time a decision is
15 reached on the CEC's recommendations, it would have been
16 too late to apply to 2023.

17 On the other hand, the Resource Adequacy reform
18 track working group was started around the same time as
19 ours and is expected to propose significant changes to the
20 RA program for 2024. That could have left us in the
21 uncomfortable position of providing recommendations that
22 were too late for 2023, but incompatible with 2024. This
23 finding largely informed our decision to submit an interim
24 report on an expedited timeline. Next slide, please.

25 Throughout the working group process we

1 identified two proposals that can each address a subset of
2 the key issues I identified previously.

3 First, PG&E proposed a Load Impact Protocol-
4 informed Effective Load Carrying Capability proposal, or
5 LIP-informed ELCC for short, and that's a methodology that
6 they have been collaborating closely with the ISO to hammer
7 out. An ELCC-based approach essentially imagines a
8 "perfect resource" or amount of "perfect capacity," which
9 is a hypothetical generation resource that never requires
10 maintenance, never loses efficiency in warm conditions, and
11 can change its output instantaneously. Then ELCC then
12 asks, "How much of that perfect capacity can a real-world
13 demand response resource replace without increasing the
14 likelihood of outages?"

15 Second, the California Efficiency and Demand
16 Management Council proposed an incentive-based approach
17 modeled off other Independent System Operators and regional
18 transmission organizations in the U.S., nicknamed the
19 "PJM/New York ISO" approach. This approach relies on a
20 system of performance penalties modeled after California's
21 Demand Response Auction Mechanism to ensure compliance
22 rather than an upfront oversight system. The idea is that
23 DR providers know their resources best and have the most
24 up-to-date information on those resources, so we can expect
25 them to offer as much capacity as they can reliably deliver

55

1 as long as they know how they will be evaluated and
2 penalized for underperformance. Next slide, please.

3 Today we are introducing a number of
4 recommendations for the interim year of 2023, as well as a
5 few for the long-term path for the qualifying capacity of
6 DR resources.

7 So first in the interim we are recommending the
8 Load Impact Protocol-based methodology that is the status
9 quo be accepted in the interim because there is
10 insufficient time to require DR providers use alternate
11 methodologies.

12 We recommend the CPUC adopt the LIP-informed ELCC
13 and incentive-based PJM/NYISO approaches in the interim.

14 We recommend that third-party and IOU DR
15 providers alike can choose between the status quo and
16 either of the two proposed interim methodologies.

17 We recommend the CPUC request that the ISO
18 provide an exemption from the Resource Adequacy
19 Availability Incentive Mechanism, or RAIM, for resources
20 that qualify with the LIP-informed ELCC.

21 And we recommend the CPUC direct IOUs to move
22 their DR portfolios onto supply plans, effectively ending
23 crediting as initially proposed by the ISO.

24 However, given the tight timeline to implement
25 the new LIP-informed ELCC methodology, we are also

1 recommending the CPUC maintain a contingency plan that
2 would provide credits for IOU DR programs in the events
3 that satisfactory LIP-informed ELCC QC values are not able
4 to be produced. Next slide, please.

5 In the long term we recommend that CPUC request
6 the CEC to continue holding the supply-side DRQC working
7 groups into the third quarter of this year, with a report
8 to be provided by the fourth quarter.

9 We recommend the CPUC explicitly request that the
10 working group address holistically the five challenges I
11 outlined previously when developing a permanent solution
12 and to ensure that it aligns with the resource adequacy
13 framework.

14 We will also recommend that the CPUC continue
15 collaborating with CEC staff on this effort. Next slide,
16 please.

17 So the next steps for this process we are
18 currently accepting feedback on the draft report until
19 February 4th, at which time we will consider revisions to
20 the draft report. We will then request adoption of the
21 final report at next month's business meeting, publish the
22 report, and submit it to the CPUC for consideration. Next
23 slide, please.

24 That concludes my presentation. Thank you so
25 much for your time.

1 CHAIR HOCHSCHILD: Erik, thank you. That was
2 terrific and I look forward to discussing.

3 Let's start the Commissioner discussion with Vice
4 Chair Gunda.

5 VICE CHAIR GUNDA: Yeah, thank you Chair.

6 And I want to just begin by, as usual, on these
7 kinds of efforts just acknowledging the amount of effort
8 that goes into this. So I'll start with Erik. I always
9 appreciate both his integrity, thoughtfulness, but also the
10 way he's able to present. That's a very good presentation.
11 Two years ago I would not have tracked any of what he just
12 said. (Inaudible.) all of that together. So thank you for
13 kind of demystifying as much as you can.

14 The second kind of high-level point is to just
15 thank Tom Flynn as well as David Erne, who are other leads
16 from CEC on this effort for their contribution in the
17 working group.

18 And most importantly and it's just the
19 stakeholders, I think, without the stakeholder's
20 participation in this process and really putting their
21 trust in developing, investment in this process to figure
22 out some solutions, we cannot make any meaningful progress.
23 So just want to thank all the stakeholders for taking the
24 chance and putting additional time into this working group
25 to continue to develop solutions.

1 And kind of finally to CPUC, it's I think the
2 request from CPUC to have CEC work on this very important
3 issue is really kind of a testament to the way we all work
4 together and help inform important issues. And I think
5 that was a strategic move there by CPUC to provide this
6 particular topic to incubate the ideas, to incubate outside
7 the regulatory process, and allow for candid discussions
8 and provide a venue for that so just want to thank CPUC's
9 former director Ed Randolph and now the interim director
10 Simon Baker for kind of putting that together.

11 So overall I just want to complete my thanks
12 first and then go into kind of the more next-steps issues.

13 So, Erik, based on the conversations we had
14 internally and some of the engagement I had with the
15 stakeholders ultimately, I think our hope here is to move
16 the conversation forward with some sort of an interim
17 solution that can continue to emerge into more permanent
18 solutions down the lane and really increase the number of
19 methodologies that we consider for the long-term solution.

20 So I'm just going to say that from all I see
21 that I think that's a good approach. I feel strongly that
22 I know making some meaningful next steps on this DR
23 accounting is a good thing.

24 The second thing I ask is like just reflecting
25 on what CPUC's explicit ask was to us, which is if we can't

1 put something collectively as a working group on to
2 something tangible it's almost impossible for CPUC to
3 consider that in their proceeding, given the condensed
4 timeline. So I just want to encourage everybody, including
5 CEC, CPUC staff who are participating in the world group,
6 but also CAISO and the stakeholders, to ensure that our
7 conversations are not broken down in this next two to three
8 weeks. As I mentioned before on those meetings my office
9 is absolutely open and available to meet with anybody to
10 kind of continue to talk through and resolve any issues, we
11 might have with the aim that we continue to move forward
12 with a proposal.

13 I also appreciated a number of the meetings from
14 the stakeholders in flagging issues that I didn't
15 understand and then kind of helping me and my office to
16 really dig into areas that we were not thinking through.
17 So again, I'm just looking forward to hearing some feedback
18 and really welcome written comments as we take this
19 preliminary report into adoption in about three weeks.

20 So with that again Erik, thank you so much for
21 all your work and patience with this. I know we threw you
22 right into this. And then you rose to the occasion, so
23 pretty grateful for your work and the entire team.

24 CHAIR HOCHSCHILD: Thank you.

25 Let's go to Commissioner McAllister.

1 COMMISSIONER MCALLISTER: Great, well thank you.
2 I second all that that Commissioner Gunda just said. And
3 also just commend you, Vice Chair, on your leadership on
4 this. This is a complex topic.

5 I remember back to the 2013 IEPR when I was new
6 to the Commission and sort of -- maybe not easily in
7 retrospect -- sort of jumped into this wanting to make
8 quick progress. And it did move the ball forward and
9 resulted in kind of bifurcation and some additional
10 complexity, I think. But this topic sort of merits this
11 level of complexity and deep thought and discussion.

12 And I think many of the points, overall the
13 points that you made, Erik -- and I agree demystifying DR
14 is a Sisyphean task -- and you've done it really, really
15 well.

16 The outcome of this is really an appreciation of
17 the baseline question to start, really, as a platform for
18 being able to get the answers expeditiously that we need to
19 characterize this resource and really allow it to grow and
20 become more robust and predictable.

21 And hopefully with continued collaboration with
22 the PUC and the CAISO we end up with a system that builds
23 on that platform. And automates it as much as possible and
24 sort of get the cost down and really pragmatically in the
25 real world allows this resource to sort of have its day.

61

1 And become a wedge in our stack that helps optimize and
2 lower costs and all that stuff that we know and enhances
3 reliability.

4 So I want to just thank also Erik and Tom and
5 David. I've gotten a number of briefings along the way,
6 and paying attention, listening to stakeholders as I'm sure
7 all my colleagues have as well. And I want to thank the
8 stakeholders for all their participation, incredible
9 diversity of opinion and positions in the marketplace. And
10 it is quite difficult to resolve all that, and so I think I
11 definitely agree with keeping the conversation going and
12 leveraging this platform that we've built. We've built in
13 some of the ongoing trust that's I think emerging along the
14 way, which kind of forms the basis for finding solutions.

15 And then I guess I would just point out that from
16 my perspective on the kind of demand side -- energy
17 efficiency, distribution resource side of things -- and I
18 guess that I'd just say the permanent load shift, or the
19 forecasting impact of demand-based resources is sort of the
20 reflection of this conversation that we're talking about
21 now. And so I think one of the learnings out of this, sort
22 of in the context of all the other conversation we're
23 having about load management standards and flexible
24 appliances and building decarbonization and evolution of
25 the building standards themselves, I think being able to

1 parse out these various resources and really locate them in
2 the right places. Because I think there's a lot of value
3 in having improved load factors at the consumer, at the
4 home and business across the state, and influencing that
5 with rates or whatever else in that sort of demand side is
6 also really important, and we need to balance the two kinds
7 of flavors of Demand Response.

8 I kind of think, just to wrap up, "Demand
9 Response" kind of needs an evolution as a term, it's a
10 little to generalized. It's kind of outlived its
11 usefulness in a way, so I think these resources are
12 actually different quantitatively and qualitatively. And
13 so maybe we can sort of update the lexicon, because I think
14 "DR" is many things to many people. And so if we could
15 maybe make that part of the conversation to sort of tune up
16 our terminology about these Flex resources generally that
17 would be a useful addition not just to California, but
18 beyond.

19 So thanks again to the whole team and the PUC for
20 tasking us with this.

21 CHAIR HOCHSCHILD: Yeah, "Flex resources" might
22 be one of the terms or I just think about it also just in
23 terms of energy resilience to the grid. I had a few
24 comments, but I wanted to go -- let's go first to
25 Commissioner Monahan.

1 COMMISSIONER MONAHAN: Well, Erik, you gave me a
2 great briefing. If Vice Chair Gunda was confused last
3 year, what chance do I have?

4 But I look forward to -- we discussed how there
5 weren't really any transportation interests at the table.
6 And while there's not much right now in the transport space
7 there's going to be more in the future, so just integrating
8 especially some of the companies that are thinking about
9 this VTG capability, so beyond just DR. We want to make
10 sure that whatever signals we set, and technologies are
11 adopted, that it's something that could be used for
12 transportation, something that could be used for buildings.
13 That we just have, I think as we all want, this terminology
14 that is across all; economy-wide terminology that works for
15 every sector.

16 CHAIR HOCHSCHILD: Thank you, Commissioner
17 Monahan.

18 So I just want to say first of all, Erik, that
19 was a terrific overview. I think the take-home point for
20 all is we are not done. We have a lot of work to do, a
21 lot. And this is still a very immature field, one that I
22 think has great potential.

23 And it's funny I think about like Apple as a
24 company, right? It used to be a computer company. Now
25 they're a phone company. And people didn't see how big the

1 phones can be. And I feel that way about Demand Response
2 actually. It's something, really the vision of everything
3 that connects to the grid being a good citizen of the grid,
4 and I mean that is what we're about. And we're going to be
5 putting in a billion dollars into building decarb. You
6 think about electric heat-pump water heaters as an example,
7 and you have flexibility when in the day are they charging,
8 and to align that and make it easy to do.

9 And I came out of the solar industry. That's
10 where I was before joining the Energy Commission. There
11 were so many very specific needs that that market required,
12 right, interconnection standards and tax credits and
13 permitting, net metering and redesign and a bunch of other
14 things. But there's an incredibly focused effort to meet
15 those needs and it's paid off enormously. And now we have
16 1.3 million solar roofs, we're adding 400 a day. It's a
17 really meaningful part of our energy portfolio.

18 I really feel the same is needed for Demand
19 Response. And I think we've got the ball rolling, but
20 we're just getting started. This still feels like early
21 days.

22 I really want to thank and recognize also our
23 R&D investments through the EPIC program in this space,
24 home-connect and others, and really the chorus of folks who
25 care about this issue stepping up and getting smart about

1 it.

2 This is not a luxury. This is a necessity for
3 grid reliability as we are electrifying more and more. And
4 so we need to treat this as a resource with enormous
5 potential and bring the kind of focus, Erik, that you're
6 bringing, and Vice Chair Gunda, Commissioner McAllister,
7 and everyone at the Energy Commission. And bring that
8 focus to maturing this whole sector, because we're going to
9 actually really require it to provide the grid security and
10 resilience that we need.

11 So I just want to add my thanks and
12 encouragement. And mind you, we're going to still continue
13 to engage and support the policy modernization that's going
14 to be needed for us to be successful as a state at this.
15 And I do think we can also bring more investments into the
16 state on innovation. And Texas just raised another \$100
17 million on that last year and there's more to come. And we
18 want to be the thought leaders on this in the country, but
19 we have a long way, long way to go. I just want to be
20 clear on that.

21 Any final comments? Vice Chair Gunda, yes.

22 VICE CHAIR GUNDA: Yeah, Chair, thank you.

23 Two points I just wanted to quickly make. I think
24 first of all thanks to you for pulling this info item as
25 general agenda topics. It's really helpful to have this

1 cross-cutting conversation on emerging areas, and
2 especially those things that are moving very rapidly
3 through our process is really helpful to check in with the
4 Commissioners, so just want to thank you on that.

5 And also, I think your points and Commissioner
6 Monahan's and Commissioner McAllister's, I think the
7 importance of DR as a part of our grid design and grid
8 modernization cannot be overstated. And I think to the
9 extent that I think you really put it really well, which is
10 if we do not put in place the necessary tools to make that
11 successful, we can't make it successful. And that includes
12 accounting, that includes any other barriers to that that
13 we might have to deal with.

14 So I'm again thankful to CPUC for recognizing the
15 importance of this and really coordinating with us and
16 having CEC expand that conversation and then continue to
17 move this forward.

18 I think we're, as you said, we're in the early
19 days. We're talking about quadrupling a grid by 2045 on the
20 electricity side, and a big, humongous amount of renewable
21 resources that are intermittent. And without a large
22 amount of DR, and really flexible and dependable DR, it's
23 almost impossible to conceive how we're going to get to
24 that goal.

25 So thank you for the support across the

1 Commission, all Commissioners who behind the scenes advise
2 the staff but also continue to forward this conversation of
3 areas like building electrification, transportation, all
4 sorts of things. That's why I say thank you before we go
5 to public comment.

6 CHAIR HOCHSCHILD: Great. And I just want to add
7 my thanks as well to President Reynolds at the PUC. I know
8 he's very supportive this, and Elliot Mainzer at CAISO. We
9 really have a visionary and collaborative leadership now to
10 work on this.

11 Erik, I just wanted to go back to you one final
12 time. Is there anything else you wanted to add or respond
13 to from what you heard?

14 MR. LYON: I just would like to echo everybody's
15 thanks to Tom and David and our team, to the CPUC for
16 giving us this opportunity to participate in this
17 conversation, and certainly to all of our stakeholders who
18 have been giving us two hours of their time every week
19 since the summer. So thanks to everyone who's
20 participated.

21 CHAIR HOCHSCHILD: Okay, thank you, Erik.

22 And with that we'll move now to Item 5. What I'd
23 like to do is we'll take comment.

24 VICE CHAIR GUNDA: Chair, I think we have some
25 public comment. I think we have Simon Baker joining us and

1 providing comment.

2 CHAIR HOCHSCHILD: Oh yeah, we can accommodate
3 from other agencies to comment on this if there are any.
4 Madam Public Advisor, do we have a PUC comment?

5 MS. GALLARDO: This is Noemi, the Public Advisor.
6 I do see someone by the name of Simon Baker raising his
7 hand, so we can unmute him?

8 CHAIR HOCHSCHILD: Yeah, please open his line.
9 Thank you.

10 MS. GALLARDO: Will do. So, Simon, if you could
11 restate your name and indicate your affiliation, we'll open
12 up your line. If you want to unmute on your end you can
13 begin.

14 MR. BAKER: Hi. Good morning, Chair Hochschild,
15 Vice Chair Gunda, and all of the Commissioners. My name is
16 Simon Baker and I'm currently acting as the Interim
17 Director of the California Public Utility Commission's
18 Energy Division. And I'm here speaking on behalf of staff,
19 not the Commission, as this is a report that will be
20 formally considered in the Resource Adequacy proceeding.

21 I just want to say that we really appreciate the
22 Energy Commission's willingness to work on this report for
23 us. it's really good for us to have some fresh eyes and
24 some dedicated attention brought to these complex issues.
25 And from our observations the working group process has

1 been very well executed, with excellent participation and
2 engagement from all the stakeholders, and in particular we
3 really appreciate the Energy Commission's willingness to be
4 flexible with us.

5 There was a point at which we realized that we
6 needed to get this report into our process sooner than we
7 initially thought, and so we asked to accelerate the
8 timeline for the development of the report. And you folks
9 were willing to do that, so thank you so much for working
10 with us on that.

11 These are really challenging issues as Erik's
12 presentation touched on. And we think the draft report
13 accurately characterizes the key DR challenges that are
14 there. And I agree with the comments earlier that Erik's
15 presentation did a great job of really explaining these
16 issues in a common-sense way, so congratulations on that.

17 We understand and appreciate the reasons for
18 issuing an interim report that pertains to 2023 RA and then
19 continuing the working group process to provide
20 recommendations for 2024 and beyond. As regards to the
21 interim recommendations staff will be assessing those
22 recommendations for implementation feasibility,
23 particularly as regards the LIP-informed Effective Load
24 Carrying Capacity methodology, which will involve a
25 modeling effort that our staff will be conducting. And it

70

1 remains to be seen in terms of how complex that process
2 could be, but we're hopeful that that can be executed.

3 And then the other proposal in there for the
4 PJM/NYISO-based incentive model, there are a lot of
5 implementation details that need to be examined and worked
6 out. And we are on a tight timeline in the RA proceeding
7 for new rules to be implemented for the 2023 RA year, so
8 staff is going to be looking at those from the
9 implementation feasibility perspective.

10 We do have some precedent in the Resource
11 Adequacy Proceeding for different counting rules for
12 different DR resources. For example, the Demand Response
13 Auction Mechanism has a different set of counting rules
14 than the utilities, DR programs, which use the load-impact
15 protocols, so that the optionality element of the interim
16 recommendations it essentially kind of expands on that
17 which does introduce more complexity to the RA framework.
18 And so the Commissioners will need to consider the policy
19 aspects of that in the proceeding.

20 I just want to thank the stakeholders for their
21 dedicated effort and extensive participation and time
22 commitment in the proceeding. I know a lot of work went
23 into this and really thanks to the Energy Commission staff
24 leads on this as well, Tom Flynn, Erik Lyon, David Erne.
25 This has been an excellent collaboration and we really

1 appreciate the work done on this.

2 CHAIR HOCHSCHILD: Thank you so much for sharing
3 those thoughts, Simon, and for your work on this. I know
4 personally you're really committed to it and we're eager to
5 continue the robust partnership with the PUC to really
6 bring this fully to fruition, because I think there's a lot
7 of potential here.

8 So unless there are other comments from
9 Commissioners, we'll turn now to Item 5, Pecho Energy
10 Storage Center. What I'd like to do is take the
11 presentation and comments on this together in order with
12 Item 6. And then we'll move to discussion after we've
13 heard the comments, public comments on both of those, and
14 presentations on both. So we'll reserve Commissioner
15 discussion and votes until after we've heard both items.
16 So let's start with Item 5.

17 MR. KNIGHT: Good morning, Chair and
18 Commissioners, I am Eric Knight. I am the Manager of the
19 Siting & Environmental Office of the Siting, Transmission,
20 and Environmental Protection Division. With me today are
21 Staff Project Manager Lisa Worrall; Staff Counsel, Jennifer
22 Baldwin; and Engineering Office Manager Geoff Lesh. Next
23 slide, please.

24 Staff is here today asking for your approval of a
25 proposed order. And that's in the matter of Pecho Energy

1 Storage Center, Docket Number 21-AFC-01.

2 On November 23rd, 2021, Pecho LD Energy Storage,
3 LLC, a joint venture of Hydrostor, Incorporated, and
4 Meridiam Infrastructure Partners, filed an Application for
5 Certification, or AFC, with the Energy Commission seeking
6 approval to construct and operate the Pecho Energy Storage
7 Center.

8 By adopting the proposed order, the Commission
9 would: 1) find the Application for Certification
10 incomplete; 2) adopt the list of deficiencies identified in
11 the Executive Director's recommendation; 3) direct the
12 applicant to file additional information and staff to file
13 a response; and 4) appoint a committee to oversee the Pecho
14 filing and any proceedings arising from it. Next slide,
15 please.

16 The Pecho Energy Storage Center would be a
17 nominal 400-megawatt, 3200 megawatt-hour advanced
18 compressed air energy storage facility. Although it has
19 "storage" in its name, and as will be explained later, this
20 facility meets the definition of a thermal plant power
21 plant down in Warren-Alquist section 25120.

22 The project's major equipment includes four all-
23 electric air compressor trains, four 100-megawatt air-
24 driven powered turbine generators, heat exchangers, thermal
25 heat storage, an underground compressed-air storage cavern

73

1 and an above-ground water reservoir.

2 The project is proposed at 2284 Adobe Road in
3 unincorporated San Luis Obispo County, just over one mile
4 east of the city limits of Morro Bay. It would be located
5 on an 80-acre portion of a 303-acre parcel that is
6 currently planted in row crops and zoned "Agriculture", by
7 the county, mapped as "Prime Farmland" by the California
8 Department of Conservation, and under a Williamson Act
9 contract.

10 The facility would provide electricity to the
11 grid via a new transmission line to the Pacific Gas and
12 Electric Company's Morro Bay Switching Station. The
13 preferred transmission line route is 3.4 miles long. The
14 project would be located within the coastal zone designated
15 by the California Coastal Act. Next slide, please.

16 This is the first time the CEC has received an
17 application for a thermal power plant that would use
18 compressed air energy storage technology, so I would like
19 to take a moment here to briefly explain it. A more
20 detailed discussion of the technology will be given by the
21 applicant at the end of staff's presentation.

22 Pecho would use off-peak or surplus electricity
23 from the grid to compress air into a purpose-built
24 underground cavern. The air would be kept in the cavern
25 under hydrostatic pressure maintained by a water column

1 (phonetic) from an onsite, aboveground water reservoir.
2 The heat generated by compressing the air would be captured
3 and stored in the aboveground thermal storage system.

4 Here is where the thermal power plant aspect
5 comes in. When the grid requires electrical power from the
6 facility pressurized compressed air would be released from
7 the subsurface storage cavern, heated using the thermal
8 energy storage during compression, and allowed to expand to
9 above-ground turbine generators to produce electricity.

10 As specified in the Warren-Alquist Act, a
11 "thermal powerplant, meaning any stationary or floating
12 electrical generating facility using any source of thermal
13 energy, with a generating capacity of 50 megawatts or
14 more."

15 With the Pecho project the hot compressed air is
16 the expanding gas driving the power turbine in the same way
17 that hot compressed combustion gases drive the power
18 turbine of a combustion turbine generator in a natural gas-
19 fired power plant.

20 Staff reviewed the application to determine if it
21 contained the information required under California Code of
22 Regulations, Title 20, section 1704 and Appendix B. And
23 note on December 22nd, 2021, the Executive Director filed
24 his recommendation with this Commission, finding the AFC
25 incomplete in 12 of the 23 disciplines.

1 The Executive Director's recommendation is to not
2 accept the application as complete for purposes of starting
3 the 12-month certification process until the additional
4 information specified in the data adequacy worksheets
5 attached to the recommendation is provided by the
6 applicant.

7 The Executive Director's recommendation also
8 indicates that staff will be investigating whether the
9 project qualifies for an exemption from the Notice of
10 Intention, or NOI, process. The Warren-Alquist Act
11 identifies which types of projects are exempted from the
12 otherwise required 12-month NOI process, and thus may
13 proceed directly to the AFC process. The NOI process is
14 essentially an alternative site analysis that's done before
15 an AFC can be submitted. An NOI application must include
16 three sites, one of which can't be located within a coastal
17 ground. At its conclusion, the CEC determines on which
18 site or sites an applicant can file an AFC.

19 Then if the AFC is filed within one year the
20 decision on the NOI to the CEC is required to render a
21 decision on the AFC within 12 months.

22 All applications filed with the CEC in the last
23 several decades, except for one, have qualified for the
24 straight-to-AFC process under Warren-Alquist Act, section
25 25540.6, subdivision (a)(1) as either co-generation,

1 natural gas-fired, or solar thermal facilities. The one
2 exception was the Hydrogen Energy California project that
3 qualified as a demonstration project under subdivision
4 (a) (5) in the same section under the Warren-Alquist Act.

5 Staff believes this could be a pathway for this
6 project to qualify for the straight-to-AFC process under
7 25540.6(a) (3) as "a thermal powerplant which it is only
8 technologically or economically feasible to site at or near
9 the energy source," but more investigation is needed.

10 The proposed order would direct the applicant to
11 file information supporting an exemption from the NOI
12 process and direct staff to file a response to the
13 applicant's information in the form of an Executive
14 Director's recommendation to be presented at the March 9th,
15 2022, business meeting. We recommend the applicant be
16 required to file their additional information on this issue
17 by February 10th, 2022, to allow staff's time for a review.

18 Typically, staff would not request a committee
19 assignment until the Executive Director makes his
20 recommendation and AFC is complete, however the Commission
21 may want to consider assigning a committee to the Pecho
22 filing as a juncture to the NOI AFC question. The possible
23 appointment of a committee was included on today's agenda
24 and is included in staff's order. Next slide, please.

25 Before I conclude my presentation, I'd like to

1 highlight another issue that will require resolution. And
2 this was identified in the Executive Director's
3 recommendation memo to the Commission. The Pecho project
4 would be in Chorro Valley, an area that the Coastal
5 Commission has designated as unsuitable for thermal
6 powerplants due to its high scenic value.

7 The Coastal Commission has filed a letter in the
8 docket outlining the issue and the process by which the
9 Coastal Commission would review information from the
10 applicant and subsequently provide its findings regarding
11 the suitability of this site for the project to the CEC as
12 part of the AFC process.

13 I'd like to note that Tom Luster with the Coastal
14 Commission is here on the line and available to answer any
15 questions that the Commissioners may have about this.

16 In conclusion, staff requests your approval of
17 the order. As I noted at the beginning of the presentation
18 staff recommends the Commission adopt the list of
19 deficiencies noted in the Executive Director's
20 Recommendation and not accept the AFC as complete at this
21 time.

22 In addition, staff requests the Commission direct
23 the applicant to provide information in support of an
24 exemption from this NOI.

25 And then finally the Commission consider

1 appointing a committee for the Pecho filing and any
2 proceedings arising from it.

3 I'd now like to turn it over to Curt Hildebrand
4 with Hydrostor and David Stein with Golder Associates for
5 the applicant's presentation. Thank you.

6 CHAIR HOCHSCHILD: Thank you Eric.

7 MR. HILDEBRAND: Good morning and thank you,
8 Eric.

9 My name is Curt Hildebrand, Senior Vice President
10 with Hydrostor. It's my pleasure to be able to speak with
11 you today. A brief overview of my presentation, I'll begin
12 with a introduction to Hydrostor; move into, secondly, a
13 discussion of our advanced compressed air energy storage
14 technology; and lastly, conclude with project overviews for
15 both our Pecho and Gem Energy Storage Center projects.
16 Next slide, please.

17 Hydrostor was founded in 2010. We are
18 headquartered in Toronto, Canada. We do also have offices
19 in the San Francisco Bay Area and in Australia. Over the
20 last 12 years we've been busy developing our Advanced
21 Compressed Air Energy Storage, or A-CAES technology,
22 advancing it through a demonstration facility that we built
23 in Toronto about eight years ago and subsequently followed
24 up with a commercial small-scale facility that's in
25 operation today outside of Toronto.

1 If we could go back one slide, that facility is
2 called the Goderich Facility, it's on our title slide.
3 There it is. That is currently in operation. It's a
4 small-scale facility, but it is operating today, doing very
5 well and providing energy and reliability and passkey
6 (phonetic) services into the Ontario Independent System
7 Operator. We've secured -- next slide, please.

8 We've secured upwards of 12 patents to date, and
9 we have an additional 20-some patents pending. So we are
10 again advancing our technology forward through
11 demonstration, early commercial, and full commercial
12 deployment.

13 We announced earlier this month, a \$250 million
14 investment in Hydrostor from Goldman Sachs. And we believe
15 that to be the largest investment to date in a pure play
16 (phonetic) long-duration energy storage company.

17 The company currently has a 900-plus megawatt
18 pipeline in California, through our Pecho and Gem projects.
19 I'm pleased to report that we're making very good
20 commercial advancements with prospective customers, we have
21 a high level of commercial interest in our projects. And
22 again, just to highlight, our technology utilizes only
23 water-pressurized air and commercially proven equipment.
24 And we do not have any ambitions associated with our
25 operations. Next slide, please.

1 CHAIR HOCHSCHILD: By the way, do you mind just
2 clarifying the correct pronunciation? Is it "Payco or
3 Paycho?"

4 MR. HILDEBRAND: We pronounce it "Payco." I've
5 heard it pronounced "Paycho" as well in other arenas. We
6 could have the Commission vote on formal pronunciation.
7 I'm open to that.

8 CHAIR HOCHSCHILD: Well, it's your project, so
9 just tell us how to say it. Payco? Okay.

10 MR. HILDEBRAND: We've adopted Payco as our
11 Hydrostor pronunciation.

12 As far as advanced compressed air energy storage
13 technology what we've set out to do is really marry the
14 best aspects of both traditional compressed air energy
15 storage technology and pumped hydro technology while
16 eliminating some of the more problematic aspects of each.
17 More specifically, traditional compressed air energy
18 storage technology utilizes natural gas to reheat the air
19 upon expansion, so it doesn't freeze up in that process
20 into solid chunks. We've eliminated natural gas from our
21 process.

22 Secondly, most traditional large-scale compressed
23 air energy storage facilities are located at existing salt
24 caverns or existing underground caverns. We've been able
25 to adapt our technology to flexibly site our facilities by

81

1 constructing purpose-built subsurface caverns. And those
2 caverns are much smaller in volume and footprint than more
3 traditional compressed air energy storage projects to date.

4 In terms of pumped hydro aspects we utilize a
5 small fraction, typically 10 percent of the water utilized
6 in pump storage, we have a very modest water usage in
7 comparison to pump storage.

8 We also have a significantly smaller footprint.
9 Our projects again are, the two proposed before the
10 Commission, are on roughly 80-acre sites. A pumped hydro
11 project of similar capacity would be an order of magnitude
12 or two larger than our facilities in terms of footprint.
13 And obviously, the environmental impacts we believe will be
14 significantly lower than a pumped hydro facility as well.

15 There is a four-minute video on YouTube that I
16 would highly recommend folks to view if they have an
17 interest in our technology. It explains how this operates
18 much more simply than my verbal description. But as Eric
19 described earlier, our first step is compressing ambient
20 air at the surface using air compressors and capturing the
21 waste heat from that process. We store that in above-
22 ground tanks using water as our working fluid.

23 The third step is that air is sent into the
24 subsurface caverns, displacing the water in those caverns
25 up to the surface. That water serves to provide a constant

1 hydrostatic head. Our caverns are typically 1800 to 2000
2 feet in depth.

3 And when we go, step four, when we go into
4 generation mode we reverse that cycle, the air is pumped
5 back up out of the caverns, sent through compressors,
6 reheated by our stored energy at the surface. And we
7 produce electricity on demand.

8 Again, this is a long-duration facility as
9 opposed to more standard two- and four-hour projects that
10 have been cited around the state.

11 Our projects are designed for eight hours of
12 storage capacity and can be expanded through additional --
13 to accommodate larger and longer durations.

14 We utilize off-the-shelf equipment. This stuff
15 has been in operation for many, many years. Underground
16 caverns have been purpose-built for similar, typically
17 hydrocarbon storage all over the world for upwards of 100
18 years. There are numerous similar applications that we'd
19 be happy to share examples of. Our round-trip efficiency
20 is on the order of 60 percent. Next slide, please.

21 Some of the real attributes of long-duration
22 energy storage: Fossil fuel plant replacement, where our
23 projects are typically large scale and they do provide very
24 analogous generation attributes to typical fossil fuel
25 plants, synchronous dispatchable generation.

1 The site, we can flexibly site our projects where
2 they make the most sense from a grid and load perspective.
3 And as we've developed our technology, we've been able to
4 make it commercially competitive with alternatives.

5 A second benefit of long duration storage is
6 transmission deferral. It is a feasible alternative to
7 building new wires. We are capable of displacing those
8 opportunities on a cost-effective basis. One example is in
9 Australia. We bid a project into a bid process in
10 Australia that was looking to build a long new transmission
11 facility. Our A-CAES advanced compressed air energy
12 storage project actually was found to be a low cost,
13 better-fit solution for the transmission provider than
14 building these new transmission lines. So we have proven
15 that long-duration storage can be a better solution than
16 new transmission lines.

17 And obviously renewable integration: we all want
18 to maximize the output from our carbon-free renewable
19 generation resources in and around California. Long-
20 duration energy storage, such as Pecho and Gem will greatly
21 facilitate that opportunity going forward.

22 As Eric mentioned Pecho is designed to be 400
23 megawatts for eight hours. Gem in Kern County, that we'll
24 be talking about as well, 500 megawatts for eight hours of
25 duration. Next slide, please.

1 Some of the statewide benefits I won't go through
2 these in specific detail, but the generation attributes of
3 our facilities are very analogous, as I mentioned, to
4 typical gas-fired facilities. They have synchronous
5 generation with very fast ramp rates up and down.

6 We also are very consistent with the California
7 climate policies and being an emissions-free generation
8 resource. And it is also consistent with RPS objectives in
9 order to maximize renewable generation and not have those
10 solar and wind facilities curtailed during peak and during
11 low demand periods. Again, we use know fossil fuel, no
12 emissions.

13 One very unique aspect of our technology we
14 actually do produce fresh water out of thin air during our
15 operations. When we are in compression mode we condense
16 the ambient humidity in the air into fresh water, we
17 collect that. And we intend to utilize that for beneficial
18 use in the future, be it through municipal needs,
19 agricultural needs, groundwater recharge, whatever makes
20 the most sense. So that is a fairly unique aspect of our
21 technology, we are producing fresh water out of thin air.

22 We will displace older, less efficient, more
23 polluting generation. And as I mentioned our capacity will
24 be very analogous to the highly flexible gas and other
25 facilities that are in operation and supporting the grid

1 today. Next slide.

2 Moving on to our Pecho Energy Storage Center I
3 appreciate the introduction, Eric. Some of this will be
4 duplicate, so I'll go through it quickly. This is another
5 visual rendering of our facility in San Luis Obispo County.
6 Again 400 megawatts, eight hours, our point of interconnect
7 is into the PG&E Morro Bay Switchyard, and our target
8 commercial operation date is early 2027.

9 The green building for reference is the turbine
10 hall, turbine and compressor hall. The tanks to the south
11 side of the project site are thermal storage tanks where we
12 store our hot water for reuse during the generation cycle.
13 You can see the water reservoir in the background. And we
14 intend to utilize covers or other options to minimize
15 evaporation losses in that facility. Next slide, please.

16 This is a bit duplicative, so I will not spend
17 too much time on it. Again, we're located approximately
18 two miles east of the city of Morro Bay in San Luis Obispo
19 County.

20 And we do have numerous potential transmission
21 corridors into our point of interconnection. These are all
22 existing transmission corridors that we would parallel into
23 that facility. Next slide.

24 Some of the local benefits, the facility will go
25 a long way in repurchasing a lot of the county-elect

1 electrical infrastructure. It will also help replace the
2 generation that's being lost from Diablo Canyon Nuclear
3 Power Plant. The local feedback has been very positive in
4 that regard. The loss of that Diablo Canyon facility is
5 going to have a dramatic impact on the county and the
6 prospect for new generation investment in the county has
7 been very well received to date.

8 Also importantly with regards to Pecho the
9 project is a very symbiotic fit with the proposed offshore
10 wind development that's being proposed in and around San
11 Luis Obispo County. The facility would be very beneficial
12 in maximizing the future generation from those offshore
13 wind facilities by storing their off-peak generation and
14 producing that during peak periods of demand.

15 The installed cost for the facility is on the
16 order of \$750 to \$900 million. We'll have a very
17 significant construction workforce. It is a fairly long
18 duration construction cycle about a little over four years,
19 peak construction workforce of 450 people, and a
20 construction labor total of about 1.6-million-man hours for
21 this facility. And to help put that in perspective if this
22 were a similar sized combined-cycle natural gas facility it
23 would be about half that number of man hours, so this is a
24 very labor-intense operation that we're proposing here in
25 terms of construction.

1 We expect 25 to 40 full-time jobs in the
2 community, very significant economic positive impact over
3 the lifecycle of facility. And we intend to partner
4 closely with the local community to establish ourselves as
5 a long-term and respected participant in San Luis Obispo
6 County. Next slide. There you go.

7 That concludes my introduction for Hydrostor, our
8 technology, and Pecho. I do have a short presentation as
9 well on our Gem Energy Storage Center in Kern County.

10 CHAIR HOCHSCHILD: Thank you, Curt, I appreciate
11 that.

12 Noemi, we had Tom Luster on; is that correct?

13 MS. GALLARDO: I'm not sure if he was a possible
14 public comment. Let me see if -- let me give the
15 instructions to everybody.

16 This is Noemi the Public Advisor. If anyone in
17 our audience would like to make a public comment, please
18 raise your hand by using the Zoom feature, it looks like a
19 high-five on the screen. If you're on by phone press *9 to
20 raise your hand, *6 to unmute. And it looks like we do
21 have Tom here raising his hand. Tom please restate your
22 name, spell it and indicate your affiliation. Your line is
23 open, and you may begin.

24 MR. LUSTER: Good afternoon, Mr. Chair and
25 Commissioners. I'm Tom Luster with the California Coastal

1 Commission. I don't have any comments. I'm mostly here to
2 answer any questions you might have about the c Coastal
3 Commission's involvement. We did provide a memo, we
4 docketed that earlier this month, that summarizes the
5 Coastal Commission's role in this process.

6 CHAIR HOCHSCHILD: Okay, thank you.

7 Noemi, do we have any other public comments on
8 Item 5?

9 MS. GALLARDO: Let me check for hands. I do not
10 see any Chair.

11 CHAIR HOCHSCHILD: Okay, with that let's go ahead
12 and move on to Item 6, and then we'll open up to
13 Commissioner discussion.

14 MR. KNIGHT: Hello, Chair and Commissioners, Eric
15 Knight again. With me this time is Staff Project Manager
16 Leonidas Payne; and then again Staff Counsel Jennifer
17 Baldwin; and Engineering Office Manager Geoff Lesh. Next
18 slide, please.

19 Staff is requesting your approval of a proposed
20 order in the matter of Gem Energy Storage Center, Docket
21 Number 21-AFC-02. I think we can all agree that there's no
22 question that Gem is the correct pronunciation for this
23 project.

24 On November 1st and 2nd 2021, GEM A-CAES LLC filed
25 an Application for Certification, or AFC, with the CEC

1 seeking approval to construct and operate the Gem Energy
2 Storage Center. By adopting the proposed order, the
3 Commission would: 1) find the Application for Certification
4 incomplete; 2) adopt the list of deficiencies identified in
5 the Executive Director's recommendation; 3) direct the
6 applicant to file additional information and staff to file
7 a response; and 4) appoint the committee to oversee the Gem
8 filing and any proceedings arising from it. Next slide,
9 please.

10 The Gem Energy Storage Center would be a nominal
11 500-megawatt, 4000-megawatt-hour advanced compressed air
12 energy storage facility. The project would be located in
13 unincorporated Kern County approximately one mile northeast
14 of the community of Willow Springs and seven miles west of
15 Rosamond. The 71-acre project site is bounded on the north
16 by Sweetser Road and on the west by Tehachapi Willow
17 Springs Road, with a physical address of 8684 Sweetser
18 Road, Rosamond, California.

19 To orient you to the area, Willow Springs is
20 roughly equidistant from the town of Tehachapi to the
21 north, and the city of Lancaster to the south. Edwards Air
22 Force Base is to the east. And there are several renewable
23 energy projects in the area, including the Tehachapi wind
24 project and several small photovoltaic projects. Next
25 slide, please.

1 Gem would consist of five 100-megawatt all-
2 electric air compressors and associated power turbine
3 trains, an underground compressed air storage cavern,
4 miscellaneous aboveground support facilities, and a 10.9-
5 mile-long interconnection to Southern California Edison's
6 Whirlwind Substation. Operation of the facility would be
7 similar, or the same I should say, as was described for
8 Pecho.

9 The Gem facility meets the definition of a
10 thermal power plant down in Warren-Alquist section 25120.

11 Staff reviewed the Gem application and on
12 December 30th, 2021, the Executive Director recommended to
13 the Commission that it find the AFC inadequate in 12 of the
14 23 technical areas.

15 As discussed for the prior item information is
16 needed to support a finding that the project qualifies for
17 an exemption from the Notice of Intention, or NOI, process.

18 The proposed order would direct the applicant to
19 file information supporting an exemption from the NOI
20 process and direct staff to file a response to the
21 applicant. Information in the form of an Executive
22 Director's recommendation to be presented at the March 9th,
23 2022, business meeting.

24 Again, staff recommends the applicant be required
25 to file the additional information on this issue by

1 February 10th, 2022, to allow for staff's review.

2 In addition, although not typical, the Commission
3 may want to consider assigning a committee to the Gem
4 filing at this a juncture to the NOI AFC question. The
5 possible appointment of a committee was included on today's
6 agenda and is included in the draft order for Gem. Next
7 slide, please.

8 In conclusion, staff requests your approval of
9 the order. As I noted at the beginning staff recommends
10 the Commission adopt the list of deficiencies noted in the
11 Executive Director's memorandum and not accept the AFC as
12 complete at this time.

13 In addition, staff requests that the Commission
14 direct the applicant to provide the information in support
15 of an exemption from the NOI.

16 And finally, that this Commission considers to
17 appoint a committee to the Gem filing and any proceedings
18 arising from it. And again I'd like to turn it over to
19 Curt Hildebrand with Hydrostor for a presentation on the
20 Gym project. Thank you.

21 MR. HILDEBRAND: Thank you, Eric. I neglected to
22 mention earlier I'm also joined today by Jeff Harris our
23 Lead Project Counsel and David Stein our Lead Environmental
24 Consultant with Golder for questions should they arise.

25 I appreciate the introduction, Eric. Our Gem

1 Energy Storage Center, again, is located in Kern County.

2 Next slide, please.

3 The facility is being designed to be a 500-
4 megawatt net output 8-hour storage facility. Our point of
5 interconnect is into the Southern California Edison
6 Whirlwind Substation at 230 kV. Both our projects are in
7 Cluster 13 at the Cal ISO and Phase II study results are
8 expected in early Q2 of this year. The commercial
9 operation target date for Gem is identical Q1, 2027. Next
10 slide, please.

11 One mention I do want to make, the reasons we
12 have selected the sites, specifically that we have for both
13 Gem and Pecho, while we do have a very good level of
14 flexibility in siting our projects, we do like to locate
15 those near surface manifestations of suitable geologic
16 formations. In Pecho's case that is the volcanic
17 outcroppings that form the Nine Sisters of San Luis Obispo
18 County. In the case of Gem, we are abutting a Willow
19 Springs Butte. That is, again, we believe to be
20 geologically favorable for the construction of our
21 subsurface caverns at depth. That does require exploratory
22 drilling to confirm the subsurface geology. And so we do
23 have reasons for siting our facilities at the locations
24 that we have selected. And again, those are based on
25 projected subsurface geologic conditions.

1 Eric described our project location. The City of
2 Rosamond is located about 7 miles to our southeast and
3 Whirlwind is located about 11 miles to our west, southwest.
4 We are in Kern County. The Los Angeles County-Kern County
5 line is approximately 10 miles to our south. Next slide,
6 please.

7 Some of the local benefits of the project we are
8 located in the greater Tehachapi renewable resource area,
9 one of the largest wind resources in California. It is
10 just to our north and there is a proliferation of large
11 solar projects in and around the project area as well.
12 It's a very prolific and growing renewable resource area.
13 A large capacity long-duration storage facility will
14 greatly enhance the next generation from those facilities
15 by being able to store that energy during off- peak demand
16 periods and utilizing during high on-peak demand periods.

17 The installed costs for the facility at Gem is
18 expected to be between \$900 million and \$1 billion.

19 The workforce is similar to Pecho, all be it
20 somewhat larger, given its incrementally larger size. We
21 do expect a total of about 200 -2 million man-hours
22 associated with the construction over about a 4 1/2-year
23 construction timeline.

24 We expect also a similar number of O&M full-time
25 equivalent positions created by the facility and also very

1 significant direct and indirect regional economic benefits
2 accruing to Kern County in the region.

3 And one important aspect from the county we do
4 not have any current state-imposed special property tax
5 treatments that solar PV and other projects do currently
6 enjoy, so that is an important benefit for the county as
7 well. Next slide.

8 That concludes our presentation today. We're
9 happy to answer questions.

10 CHAIR HOCHSCHILD: Thank you, Curt, really
11 helpful.

12 Let's go first to public comment. Madam Public
13 Advisor do we have any public comments on Item 6?

14 MS. GALLARDO: Thank you, Chair. This is Noemi,
15 the Public Advisor. If anyone in the audience would like
16 to make a public comment, please raise your hand by using
17 this Zoom feature, looks like a high-five on the screen.
18 If you're on by phone it's *9 to raise your hand, *6 to
19 unmute.

20 Chair, I do not see any hands raised.

21 CHAIR HOCHSCHILD: Okay. Let me just say at the
22 outset what we're going to do here is have a discussion and
23 then a vote. And then we'll break for lunch and continue
24 with the rest of the agenda.

25 I do not see a need for us to go into closed

1 session unless any Commissioners would recommend that. I'm
2 happy to do it. And I'd turn first to Commissioner Douglas
3 if you feel that's needed.

4 COMMISSIONER DOUGLAS: I agree with you Chair
5 Hochschild. I don't believe a closed session is needed.

6 CHAIR HOCHSCHILD: Okay, what I propose to do,
7 let me just read my recommendation and then we can talk it
8 through. So my proposal, we direct the applicants for the
9 Pecho and Gem projects to file information supporting an
10 exemption from the NOI process by February 9th, 2022. And
11 then direct staff to file a response to the applicants'
12 information in the form of an Executive Director's
13 recommendation no later than February 23rd, 2022.

14 I also want to add to the Pecho order that we're
15 appointing a committee consisting of Commissioner Karen
16 Douglas as Presiding Member and Commissioner McAllister as
17 Associate Member to preside over the Pecho Energy Storage
18 Center proceeding.

19 In the Gem order let's add that we're appointing
20 a committee consisting of Commissioner Douglas as Presiding
21 Member and Commission McAllister as Associate Member to
22 preside over the Gem Energy Storage Center proceeding.

23 And then finally I'll just have Chief Counsel
24 Barrera read any additional edits she has to what I just
25 wrote, and we can just talk that through.

1 MS. BARRERA: Thank you Chair.

2 So the proposal to the Pecho order to add under
3 the section labelled "Findings," in the third paragraph a
4 sentence after the second sentence ends in Section 1203.
5 And I sent the proposed language to the Commissioners, and
6 this will be documented as soon as we are firm on what the
7 language will be. So the sentence begins as following:
8 "the scope of the Committee shall include managing the
9 conduct of all aspects of the proceedings required for
10 thermal powerplants, including but not limited to the
11 qualification of the Pecho filing for an exemption from the
12 Notice of Intent process, the data adequacy of the filing,
13 and the Notice of Intent or the Application for
14 Certification proceeding itself as appropriate. And making
15 recommendations to the CEC on final actions in these
16 proceedings, including on findings of an exemption from the
17 Notice of Intent process, data adequacy of the filing, and
18 whether to approve or deny the Notice of Intent or the
19 Application for Certification."

20 So those are the proposed edits as to the Pecho
21 Order. And that's 21-AFC-01.

22 Then I'll proceed to proposed changes to the Gem
23 order. Should I do that, Chair?

24 CHAIR HOCHSCHILD: Yeah, can you just read it
25 out, then we can discuss it.

1 MS. BARRERA: Okay, so it's the same change also
2 under the Finding paragraph at the third paragraph after
3 the second sentence at the following sentence.

4 "The scope of the Committee shall include
5 managing the conduct of all aspects of the proceedings
6 required for thermal powerplants, including but not limited
7 to the qualification of the Gem filing for an exemption
8 from the Notice of Intent process, the data adequacy of the
9 filing, and the Notice of Intent or the Application for
10 Certification proceeding itself as appropriate. And making
11 recommendations to the Energy Commission on final actions
12 in these proceedings, including on findings of an exemption
13 from the Notice of Intent process, data adequacy of the
14 filing, and whether to approve or deny the Notice of Intent
15 or the Application for Certification." Those are the
16 changes.

17 CHAIR HOCHSCHILD: Okay. Thank you, Linda.

18 So that's the proposal. Let's open it up for
19 Commissioner discussion, starting with Commissioner
20 Douglas.

21 COMMISSIONER DOUGLAS: So a couple of brief
22 comments, first I want to thank Eric for the presentation
23 and the staff team that contributed to the data adequacy
24 recommendation. They both do a really good job of
25 explaining how this proposed facility is a thermal power

1 plant within the meaning of the Warren-Alquist Act.

2 And I also appreciate this preliminary inquiry
3 into whether the facility qualifies for the Application for
4 Certification process and identification of topics that
5 staff believes warrant supplementation by the applicant. I
6 definitely am looking forward to learning more about both
7 topics in the staff's next data adequacy recommendation
8 memo for the project.

9 Also, as staff pointed out, and I appreciate the
10 Coastal Commission participating today but for the project
11 in the coastal zone we will be working closely with the
12 Coastal Commission. And it will require important
13 determinations by the California Coastal Commission.

14 So let's see here, I'm fully on board with the
15 proposal that with a siting committee that is proposed and
16 the directive in the proposed order in terms of how the
17 applicant and when the applicant would file on the Notice
18 of Intent process, so I'm prepared to make a motion on this
19 item when we're through with Commissioner discussion.

20 CHAIR HOCHSCHILD: That'd be great. Yeah, we'll
21 come back to you. I do have some questions for the
22 applicant, but let's just go to other Commissioners.

23 Commissioner McAllister?

24 COMMISSIONER MCALLISTER: Yes, thank you. And
25 ditto on what Commissioner Douglas said and I'm certainly

1 on board with being Associate Member on a committee if that
2 is the outcome here.

3 I think just from a technical perspective this is
4 a really interesting sort of application of thermodynamics
5 and some lookout, looking forward to looking at things
6 through that lens. And along those lines I do have a
7 question. So we're shuffling a lot of heat around in the
8 compression and then the decompression. And I guess I was
9 just kind of wondering, sort of big picture, the stored
10 thermal energy would be used to reheat the air that is
11 coming up from the storage below. And it's sort of that
12 heated compression would roughly at least --would
13 presumably roughly match the cool that is generated on the
14 on the decompression.

15 And I guess I'm wondering -- other than maybe the
16 round-trip efficiency, some additional heat there -- but I
17 guess I'm wondering sort of what that process looks like,
18 sort of how hot is it that you anticipate the air to get?
19 And sort of what that energy balance looks like in just
20 gross terms.

21 MR. HILDEBRAND: The specifics are summarized in
22 our AFC application middle, Commissioner. I don't have the
23 specific picture off the top of my head. David, if you're
24 on the line?

25 COMMISSIONER MCALLISTER: Leonidas might, or one

1 of the staff might, actually.

2 MR. STEIN: Unfortunately, I don't have that.

3 COMMISSIONER MCALLISTER: No? No worries, it's a
4 little -- I'm sorry if I catch you off guard, kind of this
5 is a novel application of our thermal sort of statute. And
6 it's going to be really interesting to work through, and
7 make sure that that we're ground shooting (phonetic) with
8 the physics of it. So just really, I'm excited to sort of
9 dig into those.

10 I guess I'm also wondering are there any -- so
11 presumably you're using some advanced drilling technologies
12 to open up the caverns. I guess I'm wondering do you,
13 particularly in the coastal zone, when do you anticipate
14 any sort of, I don't know, integrity issues in terms of
15 geology and being near faults and things like that?

16 MR. HILDEBRAND: We do not anticipate those. We
17 will submit --

18 COMMISSIONER MCALLISTER: Oh, you're muted.

19 MR. HILDEBRAND: Oh, I'm sorry. Can you hear me
20 now?

21 COMMISSIONER MCALLISTER: I'm still not hearing
22 you.

23 MR. HILDEBRAND: I'm showing unmuted.

24 MS. GALLARDO: Commissioner McAllister this is
25 Noemi. I am hearing Curt.

1 CHAIR HOCHSCHILD: So we're hearing him fine,
2 Noemi.

3 MS. GALLARDO: Yeah, I wonder if there's an audio
4 issue on your end Commissioner McAllister? Can you hear
5 us?

6 COMMISSIONER MCALLISTER: Actually, my -- are you
7 hearing me?

8 CHAIR HOCHSCHILD: Can someone test him? We're
9 having a problem. We can hear you, but I guess you can't
10 hear us. Sorry, Curt, go ahead. Were you going to say
11 something?

12 MR. HILDEBRAND: Yeah. The underground caverns,
13 we will conduct very detailed seismic assessments of the
14 subsurface formations. The bores holes used to build those
15 caverns will be fully lined with cement casing, a large
16 diameter cemented in place. And the only geologic
17 formation that would be satisfactory in order for us to
18 build out our project is a very solid bedrock formation
19 that is absent of high levels of porosity, permeability or
20 fractures.

21 CHAIR HOCHSCHILD: Okay.

22 MR. HILDEBRAND: But for a very solid bedrock
23 formation we will not be in a position to construct our
24 facility nor operate it.

25 CHAIR HOCHSCHILD: Okay. I did have a question.

1 I just wanted to make a couple of comments, but wanted to
2 check with my colleagues. Vice Chair Gunda.

3 VICE CHAIR GUNDA: Yeah, thank you, Chair.

4 Again, I just wanted to say in a couple of points from a
5 policy standpoint, Curt and David, thank you for the
6 presentation and Eric, thank you for yours.

7 As we march towards the climate goals, I think
8 the long duration storage is critical, but just I'm
9 incredibly excited about this potential project and how it
10 all plays out.

11 So just a couple of technical questions. Again,
12 these are not something we need to discuss, we could follow
13 up after. So when we talk about the round-trip efficiency
14 of 60 percent are we talking about the efficiency, taking
15 into account, when you do your cycle of compressing the air
16 and recovering the heat do you anticipate that recovered
17 heat to essentially be contained for a long period of time?
18 Or do you anticipate losing some of that heat and then
19 having to recharge, for lack of better words? And then how
20 does that affect the efficiency? That's one point, one
21 question.

22 Second is just at a high-level, the
23 dispatchability and response, I mean I've looked at your
24 website because I was super-excited about this. I know
25 there are some projects in Canada that's being currently

1 used for both peak support as well as ancillary services.
2 I just wanted to understand the response rate. And also if
3 I understand it right, the project in Ontario is much
4 smaller. And how are you thinking about scaling? And what
5 do you see as potential things that you will have to work
6 through as you build this?

7 MR. HILDEBRAND: Thank you for your questions,
8 Vice Chair.

9 As far as the round-trip efficiency we're
10 currently projecting a floor of 60 percent. And that is
11 inclusive of all thermal losses throughout the system be it
12 at subsurface, be it on the surface. We do have electric
13 heaters that we will employ in the event that we have a
14 charged system that is not discharged for a long period of
15 time. There will be additional heat loss on those surface
16 storage facilities that are storing our thermal energy on
17 the surface, so we are able to reheat that. With all those
18 factors rolled in we are expecting for every megawatt hour
19 we consume in charge mode we expect to be able to produce
20 .06 megawatt hours of production at the other end.

21 We are still finalizing the design and equipment
22 specs and in order to improve that and we do expect our
23 round-trip efficiency in the final designs will be
24 somewhere between 60 and 65 percent all in, but for today's
25 purposes we're looking at something closer to 60 for a

1 floor.

2 Our response rates, we have listed some of those
3 in the AFC. They are very analogous to a gas turbine, if
4 not better, because we don't have to reheat the thermal
5 cycle that a gas turbine (indiscernible) the combustion
6 cycle so they're very analogous in terms of response times,
7 spinning reserve, ramp up, ramp down. We are every bit as
8 good if not better in most regards to traditional
9 combustion turbines, given that we just have air. We do
10 have thermal aspects of our system, or we do need to
11 accommodate those operations as well, but simply put
12 they're very analogous to a traditional natural gas
13 facility in terms of response and ancillary services.

14 The last question, I'm sorry I didn't jot it
15 down.

16 VICE CHAIR GUNDA: Yeah. It's just the scale. I
17 think of the project that you have.

18 Curt Hildebrand: Great. In terms of scale, the
19 main equipment that we're utilizing consists of air
20 compressors, turbo expanders, and heat exchangers. We've
21 been in discussion for years now with the leading folks in
22 these sectors; Halliburton, there's a number of providers.
23 Actually some of those folks are investors in Hydrostor,
24 original investors. They have 100-megawatt turbo
25 expanders, air compressors that they have been utilizing in

105

1 various applications around the world for decades. We are
2 obviously working with them closely to adapt those pieces
3 of equipment to best suit our needs.

4 But these are not off the shelf per se, but
5 proven technologies in operation for decades. We do not
6 have a 100-megawatt A-CAES facility train built and
7 operating today, but that virtually identical equipment
8 inclusive of the heat exchangers have been proven in
9 operation at refineries and other applications around the
10 world for decades.

11 So as I mentioned earlier, we're taking proven
12 technology and equipment and applying it in a different
13 way, but not adapting new technology, per se. You know,
14 heat exchangers, air compressors, turbo expander, they've
15 been around for a long time. We're repurposing them in a
16 new set of applications. So we're confident our scale-up
17 will meet the needs for the project.

18 VICE CHAIR GUNDA: Yeah. Thank you so much,
19 Curt. Again, I'm very excited about this project and
20 looking forward to watching you implement and learn from
21 this as California gets towards its goals. Yeah, I think
22 David you were going to say something, but I don't have any
23 further questions.

24 CHAIR HOCHSCHILD: Yeah, unless Commissioner
25 Monahan has a question? (Shakes her head no on camera.)

1 No, okay.

2 I did have a few questions. First of all, this
3 is indeed something of a milestone. We've never had a
4 project in this technology category apply for
5 certification. And of course it's much needed,
6 particularly losing Diablo and the OTC plants in the coming
7 years as we're electrifying so much. What is the fastest --
8 is there a possible timeline, the best (Indiscernible) or
9 you would expect these projects to actually be online?

10 MR. HILDEBRAND: We are targeting the first
11 quarter of 2027. We do have that's assuming a fairly --
12 not expedited but not prolonged -- AFC review and approval
13 process at the Energy Commission for each project. And
14 then a roughly 52-to-56-month construction cycle for each
15 facility. And again, we are doing everything we can to
16 compress the schedule on the construction side, but it is a
17 very fairly significant undertaking and we're looking at
18 early 2027 for CODs for each facility.

19 CHAIR HOCHSCHILD: Okay. Yeah, it may be easier
20 to compress the air than the schedule. I was also just
21 curious, roughly ballpark, what the Cap-X is for a project
22 of this scale?

23 MR. HILDEBRAND: Yeah, in round numbers we're
24 expecting something approaching \$800 million for Pecho.
25 And for the Gem project a proportionately higher Cap-X of

1 almost \$1 billion or upwards of \$1 billion.

2 CHAIR HOCHSCHILD: Okay. And then just on a PPA
3 basis like help us understand where this stacks up versus
4 other long duration technologies, flow batteries: iron
5 chromium, vanadium, or iron-air, or other potentially
6 similar storage chemistries and projects. I mean, how do
7 you kind of compare and contrast to your peers, in that
8 sense?

9 MR. HILDEBRAND: Well, I obviously can't get into
10 too many commercial specifics, given the nature of our
11 ongoing discussions with prospective customers. We are
12 very encouraged by this. We bid both projects into ongoing
13 RFPs by all the LLCs (phonetic) that have issued RFOs to
14 date, for both long duration and traditional storage.
15 We've gotten very positive feedback.

16 I would just highlight in terms of our commercial
17 positioning, the \$250 million investment by Goldman Sachs
18 speaks volumes as far as where we and a large successful
19 investment firm views our commercial opportunities in the
20 future. I think we're well positioned to secure offtake
21 agreements in the near future, and we can tag you if that
22 does happen.

23 CHAIR HOCHSCHILD: Okay, super helpful. Well
24 with that I would welcome a motion from Commissioner
25 Douglas, unless there's other comments from Commissioners

1 on the items as proposed. And Commissioner Douglas, are
2 you willing to move those recommendations?

3 COMMISSIONER DOUGLAS: Yes.

4 CHAIR HOCHSCHILD: Okay.

5 COMMISSIONER DOUGLAS: Yes, so maybe I'll start
6 with Agenda Item 5 and just ask the Chief Counsel, would
7 you like to read or reread the proposed edits to the order?
8 Or do you think I can just reference what you read
9 previously?

10 CHAIR HOCHSCHILD: I don't think we changed
11 anything since it was read.

12 COMMISSIONER DOUGLAS: I don't either.

13 MS. BARRERA: I'd keep it a bit more simple,
14 because the revised order was docketed in the business
15 meeting docket.

16 COMMISSIONER DOUGLAS: Okay.

17 MS. BARRERA: So yes, you could proceed and say
18 that the proposed order with the Chief Counsel's edit was
19 discussed during this business meeting, as reflected in the
20 revised order that was just filed in the docket for the
21 business meeting.

22 CHAIR HOCHSCHILD: Can we take up both items
23 together, Linda, or just do we --

24 MS. BARRERA: You should do it separately.

25 CHAIR HOCHSCHILD: Do it separate. Okay.

1 MS. BARRERA: Yes.

2 COMMISSIONER DOUGLAS: All right. So then for
3 Item 5 I move the proposed order with the modifications
4 read by the Chief Counsel.

5 CHAIR HOCHSCHILD: Commissioner McAllister, would
6 you be willing to second that?

7 COMMISSIONER MCALLISTER: Yes, apologies I had
8 some glitches on my --

9 CHAIR HOCHSCHILD: Sure, no problem. Okay.
10 Thank you.

11 COMMISSIONER MCALLISTER: -- earlier setting. So
12 I will, yes, second this item.

13 CHAIR HOCHSCHILD: Seconded by Commissioner
14 McAllister. All in favor say aye.
15 Commissioner Douglas?

16 COMMISSIONER DOUGLAS: Aye.

17 CHAIR HOCSCHILD: Commissioner McAllister?

18 COMMISSIONER MCALLISTER: Aye.

19 CHAIR HOCSCHILD: Vice Chair Gunda?

20 VICE CHAIR GUNDA: Aye.

21 CHAIR HOCSCHILD: Commissioner Monahan?

22 COMMISSIONER MONAHAN: Aye.

23 CHAIR HOCSCHILD: And I vote aye as well. Item 5
24 passes unanimously.

25 CHAIR HOCHSCHILD: Commissioner Douglas, do you

1 want to move Item 6?

2 COMMISSIONER DOUGLAS: Yes.

3 I'll ask Linda, do you want to restate the
4 changes for Item 6?

5 MS. BARRERA: I suggest that you move to adopt
6 the proposed order with the modifications read by the Chair
7 and by the Chief Counsel as reflected in the revised order
8 that was just docketed in the business meeting docket.

9 COMMISSIONER DOUGLAS: Thank you. All right,
10 Linda.

11 MS. BARRERA: I just want to make sure that it's
12 available to the public as well, all the changes that were
13 discussed during that, by the Commissioners and the Chair.

14 COMMISSIONER DOUGLAS: Thank you, that's
15 fantastic. Okay, so moved.

16 CHAIR HOCHSCHILD: And Commissioner McAllister
17 would you be willing to second?

18 COMMISSIONER MCALLISTER: Seconded.

19 CHAIR HOCHSCHILD: All in favor say aye.
20 Commissioner Douglas?

21 COMMISSIONER DOUGLAS: Aye.

22 CHAIR HOCSCHILD: Commissioner McAllister?

23 COMMISSIONER MCALLISTER: Aye.

24 CHAIR HOCSCHILD: Vice Chair Gunda?

25 VICE CHAIR GUNDA: Aye.

1 CHAIR HOCSCCHILD: Commissioner Monahan?

2 COMMISSIONER MONAHAN: Aye.

3 CHAIR HOCSCCHILD: And I vote aye as well. And
4 Item 6 passes unanimously, as modified.

5 So with that let's take a break for lunch. Why
6 don't we reconvene at 1:30? See everybody then.

7 (Off the Record at 12:36 p.m.)

8 (On the Record at 1:30 p.m.)

9 CHAIR HOCHSCHILD: All right, welcome back from
10 lunch everybody. Let's turn now to Item 7, EV Ready
11 Communities Phase II Blueprint Implementation.

12 MR. BRECHT: Yes. Good afternoon, Chair, Vice
13 Chair and Commissioners. I'm Patrick Brecht from the Fuels
14 and Transportation Division. Today staff is seeking the
15 approval of two new agreements and one amended agreement
16 under the Electric Vehicle Ready Communities Phase II
17 Blueprint solicitation.

18 The purpose of the solicitation was to fund
19 projects developed and identified in Phase I. Phase I
20 advanced and supported communities in building a framework
21 for their transition to zero-emission vehicles. This
22 second phase will be implementing those frameworks.
23 Funding is provided through the Clean Transportation
24 Program. The original solicitation provided \$7.5 million
25 to four projects.

1 Now in September 2021 the CEC added over \$9
2 million to the original solicitation by utilizing funds
3 from the Clean Transportation Program Investment Plans
4 Recovery and Reinvestment funding category from Fiscal Year
5 2020-2021. This allowed the full funding of three
6 additional projects and to fund one project that was
7 originally only partially funded. Three projects are
8 seeking approval today, with the fourth project seeking
9 approval at next month's business meeting. Next slide.

10 The benefits to California are to improve
11 accessibility to charging infrastructure by accelerating
12 towards California's zero-emission vehicle infrastructure
13 goals. This will also reduce the barriers to zero-emission
14 vehicles. And the workforce component will create green
15 jobs. Next slide.

16 The first project seeking your approval is with
17 the San Francisco Department of the Environment for just
18 under \$2.4 million. This project will add new datasets and
19 functionalities to their Blueprint Mapping Tool from Phase
20 I.

21 The project will establish an EV Ombudsperson to
22 facilitate installations of 100 levels 2 and 25 DC Fast
23 Chargers in the city, along with other tasks.

24 Another objective with this agreement is to open
25 three public fast-charging plazas, one within or adjacent

1 to a disadvantaged community.

2 This project will also design and implement a
3 program to get app-based delivery workers to use e-bikes.

4 Lastly the project will ensure knowledge transfer
5 of project results and best practices among stakeholders,
6 professionals, and municipal colleagues. Next slide.

7 The second project is with the County of Los
8 Angeles Internal Services Department for \$2.5 million.

9 This project will deploy light-duty EV
10 infrastructure, through a disadvantaged community electric
11 vehicle infrastructure project, a broader EV infrastructure
12 planning streamlining pilot project, and a direct
13 multifamily housing EV charging installation incentives
14 project.

15 The project outcomes include the following: The
16 Public Agency Disadvantaged Communities Program goal will
17 be to install 130 Level 2 Chargers.

18 The Multi-family Program goal will install 60
19 Level 2 Chargers.

20 This project will provide a holistic approach to
21 the regional transportation electrification issues, a
22 detailed analysis of primary market sectors, preliminary
23 considerations for regional EV infrastructure planning, and
24 next steps for the region, as well as data and analysis to
25 support development of a comprehensive and replicable

1 blueprint to transition to an EV-ready community. Next
2 slide.

3 The final project seeking your approval is with
4 the Kern Council of Governments, which will increase
5 original funding of around \$700,000 to \$2.5 million.

6 The project, if fully funded, will install a
7 minimum of 32 Level 2 and DC Fast Chargers at a minimum of
8 ten sites throughout Kern County.

9 The project will expand and support the MioCar
10 electric carsharing business to reach more communities
11 within Kern County.

12 The project will install additional chargers to
13 support workforce development at Bakersfield College.

14 This project will also conduct outreach and
15 education activities including hosting two symposiums and
16 three public EV workshops.

17 And lastly, it will update the Kern Council of
18 Governments community EV blueprint, which was started in
19 Phase I with the CEC's blueprinting solicitations. Next
20 slide.

21 Staff is seeking your approval of these three
22 projects. Staff has also determined that these projects
23 are exempt from CEQA. And I'd like to thank you for your
24 time and consideration for these items. Thank you.

25 CHAIR HOCHSCHILD: Thank you so much, Patrick.

1 Let's go to public comment on Item 7.

2 MS. GALLARDO: This is Noemi Gallardo, the Public
3 Advisor. Attendees if you would like to make a public
4 comment, please raise your hand using the icon on the Zoom,
5 it looks like a high-five. If you're on by phone please
6 press *9 to raise your hand, *6 to unmute.

7 I'm looking for hands. Chair, I do not see any
8 hands at this time.

9 CHAIR HOCHSCHILD: Okay let's turn to
10 Commissioner discussion, starting with Commissioner
11 Monahan.

12 COMMISSIONER MONAHAN: Well, I am excited about
13 these projects that really focus on this issue of how do we
14 make sure that EV charging infrastructure is equitable?
15 And I think all three of these projects have this strong
16 focus on multifamily dwellings on disadvantaged communities
17 on making sure that there's access through a car-sharing
18 program to zero-emission technology that also is
19 affordable. So these are really great examples of first we
20 do the planning and then we fund the implementation. And I
21 just appreciate the leadership of San Francisco, Los
22 Angeles, Kern in applying for and look forward to being
23 able to see these programs on the ground, so I strongly
24 support them.

25 CHAIR HOCHSCHILD: Thank you, Commissioner.

1 Yeah, I will just second that, love the diversity
2 of these approaches. And I would just highlight that the
3 governor released a statement today on this \$10 billion ZEV
4 package that he's been championing and which we're working
5 with CARB to implement and just how big the opportunity is
6 here. And this is really putting meat on the bones of that
7 effort. And I just really want to commend Hannon Rasool
8 and the whole staff, Patrick and the rest, all who worked
9 on this, and Commissioner Monahan for your incredible
10 leadership.

11 Just looking to see if there's any other comments
12 from Commissioners wishing to speak on this item. If not,
13 Commissioner Monahan, I welcome a motion from you on Item
14 7.

15 COMMISSIONER MONAHAN: I move to approve Item 7.

16 CHAIR HOCHSCHILD: Commissioner McAllister, would
17 you be willing to second that?

18 COMMISSIONER MCALLISTER: Second.

19 CHAIR HOCHSCHILD: Okay all in favor say aye.
20 Commissioner Monahan?

21 COMMISSIONER MONAHAN: Aye.

22 CHAIR HOCSCHILD: Commissioner McAllister?

23 COMMISSIONER MCALLISTER: Aye.

24 CHAIR HOCSCHILD: Commissioner Douglas?

25 COMMISSIONER DOUGLAS: Aye.

1 CHAIR HOCSCCHILD: Vice Chair Gunda?

2 VICE CHAIR GUNDA: Aye.

3 CHAIR HOCSCCHILD: Then we'll turn now to Item 8,
4 Santa Clara Valley Transportation Authority.

5 MS. ODUFUWA: Good afternoon, Chair and
6 Commissioners. My name is Esther Odufuwa, Energy Commission
7 Specialist with the Fuels and Transportation Division.

8 Today we are seeking approval for one grant
9 agreement resulting from the Zero-Emission Transit Fleet
10 Infrastructure Deployment Solicitation. This solicitation
11 supported deployment of electric vehicle charging and
12 hydrogen refueling infrastructure that is necessary to
13 reach ambitious targets for large-scale conversion of
14 transit bus fleets to zero-emission vehicles.

15 Seven projects were recommended for award from
16 this solicitation, including three hydrogen refueling
17 infrastructure projects and four battery electric
18 infrastructure projects. Three of those projects were
19 presented at an earlier business meeting and three
20 remaining projects will be presented at a future business
21 meeting.

22 Today I will present one proposed project focused
23 on deploying charging infrastructure, renewable generation,
24 and stationary storage as part of a microgrid to support
25 battery electric bus charging. Next slide, please, next

118

1 slide.

2 The solicitation and proposed awards will bring
3 multiple benefits to Californians and their local transit
4 agencies transitioning to zero-emission technologies.

5 Investments that are made through this
6 solicitation will provide best practices and key lessons
7 learned to increase replicable solutions that can help
8 other transit agencies across California to transition to
9 100 percent zero-emission buses.

10 The project proposed today is estimated to reduce
11 greenhouse gas emissions by nearly 1000 metric tons CO2 by
12 year, and this will also help reduce particulate and
13 criteria pollutant emissions, leading to air quality and
14 health benefits to pollution-burdened communities.

15 Last, the project includes distributed energy
16 resources and microgrid capabilities to increase site
17 resilience and also enable continued transit operations
18 even during electric grid outages. Next slide.

19 This proposed agreement is with Santa Clara
20 Valley Transportation Authority, otherwise known as VTA.
21 And the project will deploy electric bus charging
22 infrastructure to support up to 34 battery electric
23 buses. This will be at the VTA's Cerone Zero Emission Bus
24 Infrastructure and Microgrid project, which is part of
25 VTA's strategy to convert its entire fleet of 120 buses to

1 zero-emission vehicles. And to support this conversion the
2 project will install a solar and storage microgrid, enough
3 energy to charge around 10 of the buses when the grid is
4 down. And also dependent on the time of the year the
5 outage occurs the solar can produce enough energy for as
6 many as 30 buses in a day at that yard without any reliance
7 on grid power. Next slide.

8 VTA operates routes on routes that provide
9 transportation services and opportunities for
10 disadvantaged, low income, and opportunity zone
11 communities. And the local bus route services are also
12 provided in the urbanized unincorporated areas of the
13 county. There are several route stops in low-income areas
14 in its southern reach and low income and opportunity zones
15 in its northern reach as well. There are other routes that
16 connect to the disadvantaged communities, low-income
17 communities, and opportunity zone areas of the cities of
18 Gilroy and Morgan Hill to the urbanized areas and
19 opportunities available in San Jose as shown on the map.
20 Next slide.

21 This project will utilize its solar canopy where
22 buses will park under and charge using two Proterra 1.5
23 megawatt Proterra central Power Control Systems chargers,
24 with 34 charging dispensers that are part of the solar
25 canopy structure. The dispensers will use the Society of

1 Automotive Engineers, SAE, J1772 Combined Charging Systems,
2 CCS 1 plugs and dispensers, and this is universally
3 compatible with any vehicle that meets this standard. In
4 this case, it's the electric buses.

5 Solar energy that is generated from the solar
6 canopy, combined with other solar installed and generated
7 onsite as part of the project, will be used in conjunction
8 with stationary battery storage used to form the microgrid
9 and that will be used to charge the fleet of electric
10 buses. Next slide.

11 The project will also install a 4-megawatt hour
12 or 1 megawatt of Battery Energy Storage, which is charged
13 by onsite solar PV during the day and then discharged into
14 the buses when electricity prices are higher. This energy
15 storage system can discharge its whole 4-megawatt hour
16 between 3 to 3.5 hours.

17 In addition, the project will install an overhead
18 inverted pantograph that uses SAE J3105 promotes the safe
19 conductive power transfer systems for electric vehicle
20 charging and recharging buses and heavy-duty vehicles. The
21 dispensers have low-profile overhead pantographs that are
22 attached to the carport solar structures. And the power is
23 automatically routed from the 1.5-megawatt Proterra power
24 control system to each dispenser and that is according to
25 the vehicle's charging schedule. Next slide, next slide.

121

1 Shown on the left is an aerial view of VTA Cerone
2 bus yard and this is about 122-acre tract of land that
3 includes both bus operations and the bus maintenance
4 facilities.

5 Again, the project will deploy infrastructure
6 that can support more than 34 battery electric buses that
7 each all these buses contain a large battery with nearly
8 450 kilowatts of storage capacity, and that is
9 approximately 10 times larger than an average residential
10 storage system. Charging of these buses is a function of
11 the amount of energy that needs to be charged on the bus,
12 but if you're looking at the high level you could consider
13 that a bus with a standard 405 kilowatts of useable energy
14 that charges at an average rate of 130 kilowatts would
15 charge between 3 and 3.5 hours.

16 Today there are about 11,500 transit buses that
17 operating across California. So if all the buses deployed
18 in this project are capable of actually discharging
19 electricity to the grid there is potential for this to be
20 able to provide both mobility and electric services.

21 In addition, if all these transit buses in the
22 state were bi-directional and also capable of discharging
23 through an average dedicated 60 kilowatts bidirectional
24 charger, combined they represent nearly 700 megawatts of
25 flexible capacity that could support the grid during times

1 of peak demand. And this capacity is roughly enough to
2 power nearly about 700,000 California homes. Next slide.

3 Staff recommends approval of this grant award and
4 adoption of staff's determination that this project is
5 exempt from CEQA. Thank you all for your time and
6 consideration of this item and this concludes my
7 presentation. I believe staff from VTA are available to
8 make comments.

9 CHAIR HOCHSCHILD: Thank you, Esther.

10 Let's go to public comment on Item 8.

11 MS. GALLARDO: This is Noemi, the Public Advisor.

12 Attendees if you would like to make a comment, please use
13 the raised-hand feature on the screen, it looks like a
14 high-five. If you are on by phone please press *9 to raise
15 your hand, *6 to unmute. Again, if you would like to make
16 a comment, please raise your hand using the Zoom icon or
17 press *9 by phone.

18 I am looking for hands now. Chair, I do not see
19 any hands at the moment.

20 CHAIR HOCHSCHILD: Okay. Let's go to
21 Commissioner discussion, starting with Commissioner
22 Monahan.

23 COMMISSIONER MONAHAN: Well, Esther, thanks for a
24 great presentation. And I actually want to really
25 appreciate the fact that you brought out sort of what the

1 potential if every electric school bus were a DER what that
2 could mean for the state of California in terms of
3 resilience, which connects to an earlier conversation we
4 were having.

5 And this is the second type of this type of
6 grant. We approved one last year for LA Metro. This one,
7 just this idea that the Chair, I love this quote of, "How
8 do we make EVs good citizens of the grid?" And this is one
9 strategy for both making them good citizens of the grid,
10 and a more resilient energy system. So like the fact that
11 if the grid goes down, they could use renewable energy to
12 charge up to 30 vehicles, so 10 from the battery storage
13 and then an additional 20 is just incredible. And I would
14 really, once it's actually up and running, this is another
15 one of those projects I would love to see in action. It
16 just brings together electrification, mobility, resilience
17 in a perfect way.

18 So I just want to thank Esther and thank
19 Elizabeth John for her leadership and Michelle Vater and
20 the whole team. These are the kinds of projects that
21 really bring together equity and clean transportation in a
22 perfect way. Thank you.

23 CHAIR HOCHSCHILD: Okay, great.

24 Unless there's other comments from Commissioners,
25 I would -- oh, go ahead, Vice Chair Gunda.

1 VICE CHAIR GUNDA: I wanted to say, even on the
2 previous presentation, I just wanted to commend both these
3 presentations. And Esther, a great job on describing the
4 benefits. As Commissioner Monahan mentioned, just
5 seconding everything she said, I think this is just really
6 innovative, kind of the way we are envisioning the future.
7 These demonstrations are really making it seem feasible, so
8 just really looking forward to the success of this program.
9 And thank you for the presentation.

10 CHAIR HOCHSCHILD: Great. Well at this point I'd
11 welcome a motion on Item 8 from Commissioner Monahan.

12 COMMISSIONER MONAHAN: I move approval on Item 8.

13 CHAIR HOCHSCHILD: Okay. Vice Chair Gunda would
14 you be willing to second?

15 VICE CHAIR GUNDA: Yes, second.

16 CHAIR HOCHSCHILD: All in favor say aye.

17 Commissioner Monahan?

18 COMMISSIONER MONAHAN: Aye.

19 CHAIR HOCSCHILD: Vice Chair Gunda?

20 VICE CHAIR GUNDA: Aye.

21 CHAIR HOCSCHILD: Commissioner Douglas?

22 COMMISSIONER DOUGLAS: Aye.

23 CHAIR HOCSCHILD: Commissioner McAllister?

24 COMMISSIONER MCALLISTER: Aye.

25 CHAIR HOCHSCHILD: And I vote aye as well. Item

125

1 8 passes unanimously.

2 Let's turn now to Item 9. However, we will not
3 be considering Item 9c, Greenfire, which will be set for
4 another commissioner meeting, so this is only Items 9a, b,
5 d, and e, Bringing Rapid Innovation, Development to Green
6 Energy.

7 MR. FERREIRA: Good afternoon, Chair and
8 Commissioners, my name is Michael Ferreira and I work in
9 the Energy Research and Development Division. I'm here
10 today seeking approval for five new grant agreements that
11 resulted from our BRIDGE 2020 solicitation. BRIDGE is one
12 of a series of programs we've established to enable clean
13 energy startups, with this funding opportunity having the
14 specific purpose of bridging the gap between public and
15 private funding opportunities. Next slide, please.

16 One main benefit of BRIDGE is advancing the clean
17 energy economy by funding promising technologies that can
18 enable the transition away from fossil fuels.

19 Some of the specific benefits of the agreements
20 being discussed today include improved grid resilience and
21 reliability through reduced peak demand as well as lower
22 costs from technologies that will enable increased
23 renewable energy production. Next slide, please.

24 The first agreement is with Swift Solar, who will
25 continue to develop their perovskite tandem PV technology

1 and demonstrate new applications. Today's solar cell
2 products are limited in both their efficiency, with current
3 cells around 23 percent and a practical ceiling being
4 around 25 percent.

5 In this project Swift will work to improve the
6 efficiency of their cells to over 28 percent and then
7 develop modules that are curved and durable enough to be
8 integrated into electric vehicles so they can demonstrate
9 onboard solar charging in an operational environment. With
10 onboard solar charging EVs can greatly expand the range and
11 the time between charges, with the final product expected
12 to be 50 to 100 percent of a typical California commuter's
13 charging needs by adding an additional 17 to 21 miles per
14 day of range.

15 In addition to saving on charging costs, reducing
16 charging needs could also help avoid increased peak load
17 caused by EVs being plugged in to charge by owners
18 returning home from work. This should also reduce peaking
19 capacity requirements leading to overall system cost
20 savings.

21 Beyond the \$1 to 2 billion EV market in
22 California, Swift has identified aerospace, electronics and
23 solar roofing applications as target markets. Next slide,
24 please.

25 The next agreement is with Intertie incorporated

1 to develop an advanced power electronics module that
2 enables fast charging using a low amperage circuit.

3 In order for EVs to be widely adopted a
4 convenient network of fast chargers is required.
5 Unfortunately, most fast chargers connect directly to the
6 AC grid and have higher power requirements than the spare
7 capacity in most building electric panels or utility
8 services, meaning costly electric upgrades and higher
9 operating costs due to high demand charges. Intertie's
10 EV ChargePod overcomes these issues by decoupling the
11 charger from the AC grid.

12 The power electronics module being developed
13 directly connects the fast charger to a battery, local
14 solar if available, and a grid-tied power converter, which
15 together make up the EV ChargePod. This allows for
16 commercially available fast chargers to supply high power
17 to EVs using only a 100-amp circuit, making fast charging
18 available at almost any location. A key innovation is
19 Intertie's in-volt battery system that locates the battery
20 directly under the charging station. By locating the
21 battery underground the product save space, improve safety,
22 and efficiently uses ground temperature for thermal
23 management, saving on operating costs and extending battery
24 life.

25 The completed product will lower the cost and

1 accelerate the deployment of fast-charging infrastructure
2 by avoiding the need for expensive grid upgrades.
3 Additionally, being coupled to storage means this product
4 can reduce peak demand by charging during off-peak hours.

5 Intertie estimates that at 10 percent market
6 penetration of convenient retail such as gas stations, fast
7 food, small retail and strip malls, would equal over 4,700
8 installations resulting in 750 megawatts of peak load
9 reduction. Next slide, please.

10 The next agreement is with Icarus RT to
11 demonstrate commercial readiness of their hybrid PV/thermal
12 solar cogeneration system.

13 As mentioned earlier current PV technology
14 converts only about 22 percent of solar energy into usable
15 power, and that is at the ideal temperature of 25°Celsius.
16 However, on hot days panels can reach temperatures above
17 the 65 °Celsius or more, causing panel efficiency to
18 drop to 16 percent or lower.

19 The hybrid PV/Thermal system in this project uses
20 Icarus' heat exchangers, which attach to the back of PV
21 panels, to cool panels by extracting waste heat. The
22 system collects and stores this thermal energy and converts
23 it into hot water on demand. By cooling panels up to 18
24 deg Celsisu Icarus can increase efficiency by up to 12
25 percent. For the 280-kilowatt system being installed in

1 this project, this amounts to an additional 50,000-kilowatt
2 hours generated annually with a value of \$15,000 from
3 improved efficiency alone.

4 The system charges the thermal battery while
5 boosting PV power output, unlike current battery systems,
6 which consume PV output to charge. The results are
7 increased power and energy production, longer panel
8 lifetime, reduced greenhouse gas emissions, and a faster
9 return on investment.

10 Initial target markets for this technology
11 include multifamily, commercial and industrial
12 applications, which represents a \$5 billion market in
13 California as of 2020. Next slide, please.

14 The last agreement is with Carnot Compression,
15 who will continue to advance their compressor technology to
16 commercial readiness.

17 Current air compressor technology is relatively
18 energy inefficient, with industrial air compressors
19 estimated to represent 12 percent of manufacturing
20 electricity consumption, or about 4.9 terawatt hours in
21 California. Also, the majority of air compressors sold
22 today address heat using oil, requiring frequent oil and
23 filter changes and disposal.

24 Carnot Compression has developed an isothermal
25 air compression technology that solves the heat of

1 compression problems by using a working liquid to compress
2 gas while actively removing the resulting heat.

3 The Carnot Compressor is projected to
4 reduce energy consumption and operating costs for air
5 compressors by 20 percent or more compared to
6 incumbent technologies. Assuming a 10 percent adoption
7 factor, their compressor could provide up to \$22 million
8 per year in energy cost savings in California alone. Also
9 the compressor is oil-free air, which removes the costs of
10 oil and filter changing and disposal and reduces down time
11 for maintenance.

12 The global air compressor market is estimated at
13 \$40 billion per year by 2025 with oil-free compressors
14 accounting for a third of that. Carnot is targeting the
15 oil-free segment, as incumbent oil-free compressors are
16 approximately three times the cost of similar oil-flooded
17 compressors, providing an opportunity for Carnot to
18 compete in a premium priced market. Next slide, please.

19 Staff recommends approval of these 4 grant
20 agreements and staff's findings that these projects are
21 exempt from CEQA. This concludes my presentation, staff is
22 available for questions. And I believe there are some
23 representatives from some of the companies who would like
24 to comment. Thank you.

25 CHAIR HOCHSCHILD: Thank you, Michael, appreciate

131

1 that.

2 Let's go now to public comment, Noemi.

3 MS. GALLARDO: Yes, this is Noemi Gallardo,
4 Public Advisor. Attendees if you would like to make a
5 comment you can use the raise-hand feature on Zoom, it
6 looks like a high-five. If you are on by phone please
7 press *9 to raise your hand, *6 to unmute. I'm looking for
8 hands now. I do see a hand raised, Todd Thompson. A
9 reminder to please restate your name, spell it and indicate
10 affiliation, if any.

11 Your line is open, Todd, you may begin.

12 MR. THOMPSON: Hi, this is Todd Thompson. I'm
13 one of the co-founders, and the CEO of Carnot Compression.
14 And I would just on behalf of Carnot Compression, would
15 like to say thank you to Chair Hochschild, Vice Chair Gunda
16 and the Commissioners for considering our project for
17 funding.

18 CHAIR HOCHSCHILD: Thank you.

19 MS. GALLARDO: All right, this is Noemi, the
20 Public Advisor. I am looking for hands. We have another,
21 looks like Pat Millham, apologies if I mispronounced that.
22 Please restate your name, spell it, and indicate your
23 affiliation if any. Your line is open, you may begin.

24 MR. MILLHAM: Thank you so much. Thank you,
25 Chairman Commissioners. My name is Pat Millham. I'm the

1 Chief of Staff Swift Solar headquartered in San Carlos,
2 California. And I just wanted to thank the CEC and the
3 governor for this opportunity of leadership and to your
4 commitment to innovation.

5 CHAIR HOCHSCHILD: Thank you.

6 MS. GALLARDO: I'm looking for hands again.
7 Chair, I do not see any other hands at this time.

8 CHAIR HOCHSCHILD: Okay. Well I'll just say I
9 think this is a terrific mix of projects. I just want to
10 commend all of the companies, innovators, and the staff for
11 setting this up today.

12 You know, sometimes what looks like just
13 incremental innovation can be incredibly significant. I
14 mean, if you take just first divide it, and moving just a
15 few percentage points higher on efficiency or allowing for
16 a curved solar shell that can fit on the roof of a vehicle,
17 those are actually very, very significant steps forward.
18 And I just really feel good about this whole package of
19 proposals to push the ball forward. And this continues a
20 long tradition here with the EPIC program really hitting
21 home runs, and so these projects have my full support.

22 I just wanted to see if other Commissioners would
23 like to chime in? Commissioner McAllister, go ahead.

24 COMMISSIONER MCALLISTER: It's great. I just
25 would second your comments and just congratulate the

1 companies represented here for bringing these projects to
2 us. And really commend staff over the last few years
3 having conceived and put in place this bridge, sort of
4 slice, of our R&D efforts too, because it does really fill
5 a niche that's needed in the innovation chain.

6 And I think all four of these projects are
7 emblematic of that and really represent, as you said, steps
8 forward to look for opportunities and harvest those
9 opportunities, to really improve and just at every stage of
10 the renewable supply chain looking for all these
11 opportunities that aren't obvious at first glance, but can
12 make a big difference. So that's important, this package.

13 CHAIR HOCHSCHILD: Commissioner Monahan?

14 COMMISSIONER MONAHAN: Yeah, I'm really excited
15 about these. And especially, I mean well both the EV-
16 related has been near and dear to my heart. And the idea
17 that you could put maybe a solar panel on the roof and get
18 enough energy to basically meet your daily needs, that's
19 incredible, that's a game changer. And I mean if it works
20 it really would make a huge difference in terms of being
21 able to accelerate the transition to electric
22 transportation.

23 It's kind of like actually when Mike was talking
24 about it with me earlier, I was just like, "What? How can
25 this be?" It is a really exciting opportunity. I mean,

134

1 we'll see what happens, but these kinds of investments in
2 technologies that could be really game changers are just
3 so, so exciting.

4 And Intertie too, that bury the battery. It has
5 a small footprint, keeps the battery cool to make the
6 system more resilient, I mean it's just sort of exciting
7 technologies.

8 You think a lot about -- I think a lot about how
9 medium- and heavy-duty vehicles, we want to make sure that
10 they charge at the right times and they're optimal. And
11 with light-duty these kinds of projects also give, unlock
12 that potential in the light-duty sector

13 CHAIR HOCHSCHILD: I mean, it's interesting to
14 think about we have all these gas stations with buried fuel
15 tanks, and you can have buried batteries replacing them
16 over time here.

17 COMMISSIONER MCALLISTER: Yeah, we're all going
18 to have an incentive to park in the sun instead of in the
19 shade.

20 CHAIR HOCHSCHILD: Yeah, that's true. They'll
21 charge more for parking (indiscernible) in the sun.
22 Comments from other Commissioners? Oh yeah, Vice Chair
23 Gunda.

24 VICE CHAIR GUNDA: Yeah, I think I just wanted to
25 second all of you. I think super-excited about all the

1 programs, all the different projects here. And also just
2 the hybrid thermal solar system, that's pretty awesome.
3 And I think that works with the dual application of both
4 improving efficiency, but also the hot water.

5 These are just -- going back to Commissioner
6 Monahan's comments over the last few IEPR workshops, just
7 the integrated nature of these projects, buildings,
8 transportation, everything's coming together and in support
9 of the grid modernization I think, so super excited and
10 looking forward to supporting them.

11 CHAIR HOCHSCHILD: Great. With that,
12 Commissioner McAllister, I'd welcome a motion on Item 9.

13 COMMISSIONER MCALLISTER: I will move Items 9a,
14 b, d, and e.

15 CHAIR HOCHSCHILD: Thank you. Commissioner
16 Monahan, are you willing to second?

17 COMMISSIONER MONAHAN: I second.

18 CHAIR HOCHSCHILD: Okay all in favor say aye.
19 Commissioner McAllister?

20 COMMISSIONER MCALLISTER: Aye.

21 CHAIR HOCSCHILD: Commissioner Monahan?

22 COMMISSIONER MONAHAN: Aye.

23 CHAIR HOCSCHILD: Vice Chair Gunda?

24 VICE CHAIR GUNDA: Aye.

25 CHAIR HOCSCHILD: Commissioner Douglas?

1 COMMISSIONER DOUGLAS: Aye.

2 CHAIR HOCHSCHILD: And I vote aye as well. Those
3 items pass unanimously.

4 We'll turn now to Item 10, Approval of the
5 December 8th Business Meeting Minutes. Any public comments
6 on that, Noemi?

7 MS. GALLARDO: This is Noemi Gallardo, the Public
8 Advisor. Attendees if you would like to comment on the
9 business meeting minutes from December 8th please raise your
10 hand using the icon on Zoom. Or if you are on by phone
11 press *9 to raise your hand, *6 to unmute.

12 I am looking for hands now. Chair, I do not see
13 any hands raised at this moment.

14 CHAIR HOCHSCHILD: Okay. Vice Chair Gunda could
15 you move Item 10 please.

16 VICE CHAIR GUNDA: Yeah, I'll move Item 10.

17 CHAIR HOCSCHILD: And Commissioner Douglas, could
18 you second?

19 COMMISSIONER DOUGLAS: Second.

20 CHAIR HOCHSCHILD: All in favor say aye.

21 Vice Chair Gunda?

22 VICE CHAIR GUNDA: Aye.

23 CHAIR HOCSCHILD: Commissioner Douglas?

24 COMMISSIONER DOUGLAS: Aye.

25 CHAIR HOCSCHILD: Commissioner McAllister?

1 COMMISSIONER MCALLISTER: Aye.

2 CHAIR HOCSCHILD: Commissioner Monahan?

3 COMMISSIONER MONAHAN: Aye.

4 CHAIR HOCHSCHILD: And I vote aye as well.

5 We'll turn now to Item 11, Lead Commissioner
6 Reports. Why don't we begin with Commissioner Monahan?

7 COMMISSIONER MONAHAN: Well, since we just had
8 the retreat, I don't have very much to add, just two items:
9 one is just information on purposes and the other is a
10 slight discussion.

11 So I really appreciated the discussion
12 opportunity at our retreat. So just for your information,
13 I participated in a meeting that was pulled together by
14 Ethan Elkind from UC Berkeley the Climate Center. And he
15 pulls together these convenings to wrestle with challenging
16 topics. I don't know if others have probably been involved
17 in those meetings that he's pulled together.

18 But this one was on sustainable aviation fuels,
19 and it was very fascinating. It brought in folks from the
20 EU and all major airlines, including United and Southwest
21 participated. And just a lot of, I would say, Chatham
22 House Rules, so we can't attribute anything to anyone. But
23 just a lot of interest, I think, on the biofuels has been
24 the primary, I guess, investment by most of these companies
25 and the attention has really been on biofuels.

138

1 Now there's just more recognition that there can
2 be a place for ZEV in the air travel space. And the
3 question is what is that space and how? And is it
4 hydrogen? Is it battery electric? But that's something I
5 would say is much more nascent. And in the proposed budget
6 that the governor has there's \$100 million for emerging
7 opportunities, air travel is in that basket. So it might
8 be an opportunity for some investments on zero-emission
9 aviation in California, which would be exciting.

10 We started this question about hydrogen and just
11 wanting California to get one of the federal hydrogen hubs
12 with a real emphasis on green hydrogen. And I wanted to
13 say maybe for discussion purposes that the federal
14 legislation has specific language about what clean hydrogen
15 is. And I think there's going to be interest by the
16 federal government to kind of stick with that and not move
17 into the categories of blue, green, pink, all the different
18 color array that we use to describe hydrogen.

19 And so I think that will be one of the questions
20 that comes up is really how much to focus just in on like
21 electrolytic hydrogen that falls underneath a certain life
22 cycle, GHG versus pure green, which would mean produced by
23 renewable energy. So just I know everybody has an interest
24 in hydrogen, and so I just want to keep you in the loop on
25 that. And if there's any feedback or thoughts, I welcome

1 them.

2 CHAIR HOCHSCHILD: Thank you, Commissioner.

3 Let's go to Vice Chair Gunda next.

4 VICE CHAIR GUNDA: Yeah, thank you, Chair.

5 Thanks, Commissioner Monahan, for your report.

6 Yeah, so as Commissioner Monahan said we very
7 recently met. And there was a very broad discussion on a
8 number of items, so I don't want to repeat them, which are
9 already on the record. But I just wanted to provide in the
10 spirit of what Commissioner Monahan was saying, one of the
11 things we would like to do moving forward in doing these
12 reports is an ability to discuss amongst us things that are
13 cross-cutting and such, enough interest obviously.

14 So one thing that all of you are interested in,
15 going into 2022, the summer reliability. Staff have been
16 at work on that, we have been -- so it is a preliminary
17 stack analysis that's completed for 2022. As some of you
18 might recall last year during the Emergency Proclamation,
19 the proclamation kind of referenced about a 5000-megawatt
20 shortfall for 2022 under extreme conditions. That was
21 revised down to 4300 by staff in fall timeframe. And the
22 latest analysis, taking into account some of the
23 deficiencies such as Redondo Beach, which is now available
24 for 2022 and a number of procurements that has been done by
25 CPUC, the shortfall has really reduced all the way down to

140

1 2100, going into 2022. So we are almost 3000 megawatts
2 better from where we were about this time last year.

3 And even for the 2100-megawatt shortfall under
4 those extreme conditions we currently have a pretty robust
5 set of measures, contingency measures to sum up to almost
6 2,000 megawatts; so 2,000 to 3,500 depending on the lower
7 end.

8 So I think just wanted to provide that. And
9 overall, staff are on it working really hard, not just our
10 staff, joint agency staff, in kind of moving the
11 conversation forward.

12 There's also kind of an emerging focus, more and
13 more so, as you all know that we've put in our mid-term
14 Reliability Analysis last year, looking through 2026, so
15 that's the focus now.

16 And under Commissioner Douglas there is a number
17 of efforts that have started with SB 100, but also kind of
18 just that SB 100 has precipitated a number of other things
19 around inter-connection, how do we solve issues around
20 transmission, bringing land-use permitting, all sorts of
21 things. So Commissioner Douglas, thank you for your vision
22 in kicking off those broader efforts that really started
23 from your original SB 100 kickoff.

24 So we are now tracking through 2026. There are
25 a lot of efforts in place. And the idea would be on a

1 regular cadence we will look ahead every year, six months
2 ahead of time in the summer and we see how that shortfall
3 is looking, look at the contingencies. And at that point
4 make a kind of an informed decision that's joint agency
5 supported to the Administration of the Governor's Office
6 however we see fit there on any extraordinary measures that
7 we might have to take like leveraging the Proclamation last
8 year. So that's kind of the emerging kind of process. I
9 just wanted to say that CARB showed us a number of
10 briefings that they're doing right now along those lines.

11 The other one of interest, the Chair might
12 mention this as well, we have been tracking the Moss
13 Landing battery energy project, storage project. And
14 that's important because it's 300 megawatts, but also
15 because it's a -- as we move towards more and more reliance
16 on batteries, we want them to be performing well, both
17 operationally but also safely.

18 So we have been in regular touch with Vistra who
19 owns the Moss Landing and they have been extremely
20 wonderful in keeping us posted so that we are learning more
21 and then they are trying to do everything they can to
22 spread the word on what happened. But it's good news. I
23 mean, their hypothesis was not that the fire started in the
24 batteries, but more of other ancillary issues and that
25 seems to be true now. So the Moss Landing project is

1 expected to come online, about 100 megawatts to 300 by
2 February and the rest by June. So I just wanted to flag
3 that for you.

4 So we kind of have other things we are doing, but
5 I'll just keep them off for now. Thank you.

6 CHAIR HOCHSCHILD: Yeah, I'll just chime in on
7 that while we're on that subject.

8 So that briefing was yesterday. I want to thank
9 Mike Gravely from my team for pulling that together. And
10 this is the largest energy storage project in the world,
11 400 megawatts. And it was actually very good to learn the
12 issue they had was not a battery flaw, but a failed fire
13 suppression system that caused the water to go on the
14 battery to get wet. And they're fixing that and changing
15 protocols. And so we'll have all that online by June and
16 200 megawatts of it online by the end of this month, so
17 that was a very good briefing. Thank you Vice Chair Gunda.

18 With that, then we go to Commissioner Douglas.

19 COMMISSIONER DOUGLAS: Yes, thank you. I just
20 have one report, which is that after our retreat the Chair
21 and I were able to take a trip with a number of our
22 colleagues to, in my case, Imperial and Coachella Valley --
23 and I think the Chair will report on his part of the trip.

24 But just for mine I had a chance to go actually
25 with Lauren Sanchez. She's the Governor's Senior Climate

1 Advisor. And we went first to the Coachella Valley and met
2 with a number of community groups, with people involved in
3 LVC (phonetic) work. So I met with Silvia Paz the Chair of
4 CLVC. And then together with Lauren also had a chance to
5 meet with Leadership Council, which is an EJ group that has
6 expressed a lot of interest and participated in a number of
7 Lithium Valley Commission meetings.

8 We also went to the Imperial Valley and met with
9 Luis Olmedo who's with the Comite Civico del Valle. And it
10 was really great actually to go and see -- we went to his
11 offices, because he had two EV chargers that were being
12 installed. And he had a lot of thoughts about the eVIP
13 program and how it should be further, just how I think we
14 need to continue to reflect on the challenges in
15 communities where the infrastructure is not as strong as it
16 is in most other parts of the state. I think he ran into
17 any number of challenges with his charging stations. And I
18 suggested that he talk to some of our staff about that
19 experience. Nevertheless, those charging stations are
20 almost up and running.

21 And he also had a COVID-testing operation, pretty
22 substantial one going on right in front of the office that
23 they helped organize. So it was fantastic to see that.

24 And we then met up and did a couple tours of some
25 of the geothermal and lithium efforts out at in the Salton

1 Sea area and had a dinner and got on the road and drove to
2 San Diego, flew home. It was a very, very, very long day,
3 but it was really valuable, and I want to do it again. I
4 think there's no substitute for actually getting out and
5 talking to people in person and really learning about the
6 opportunities and the challenges and the partners who can
7 make us make this work and help us realize this vision.

8 So that's my report and I'll pass this on to the
9 Chair when it comes up to him, I think, because we didn't
10 take the entire tour together. And so he's got more to
11 report on as well. So thank you

12 COMMISSIONER MONAHAN: Can I just say something
13 really quick in response?

14 CHAIR HOCHSCHILD: Yeah, please do.

15 COMMISSIONER MONAHAN: So yeah, as a result of
16 that connection Commissioner Douglas, our Public Advisor
17 Noemi and Mona Badie my Advisor, met with Luis. And
18 they've already a discussion on it, so just thank you for
19 making that connection. And I think Noemi is counting him
20 among our clean transportation gurus that we'll be reaching
21 out to for advice.

22 COMMISSIONER DOUGLAS: Well, thank you so much.
23 I'm glad you said that. He was very quick then to make the
24 connection. But I just thought, I just knew that he had
25 something to say from those experiences that would help us,

145

1 so I'm really glad that worked out.

2 CHAIR HOCHSCHILD: Thank you.

3 Let's turn next to Commission McAllister. And
4 let me just begin by saying that we'll be adjourning
5 today's meeting in memory of Judge Gilbert Merritt, who is
6 a distinguished Court of Appeals Judge for many years and a
7 cousin of Andrew McAllister. So I wonder if you could in
8 your comments just tell us a little bit about his life and
9 legacy while you give your update.

10 COMMISSIONER MCALLISTER: Absolutely, well thanks
11 Chair and colleagues, for letting me go a little bit out of
12 order here.

13 I did want to just highlight, just thank staff
14 really on a couple of issue a couple of items. The load
15 management standards final staff report is out on the
16 street for comment. And it's a really strong product and I
17 think will get us off on solid footing to open up the
18 formal regulatory process and really get it going and
19 finalize that sometime this year fully. As you know, it's
20 a quite an innovation and it should open up some creativity
21 in the marketplace for DERs, demand-based resources.

22 And then the second, I would be remiss if I
23 didn't just thank all of the staff that have helped put
24 together the IEPR. This year we'll be bringing that
25 forward in February, March business meetings in chunks, but

146

1 it's been a big lift and an important lift. And Heather
2 and her team have just done an amazing job with lots of
3 workshops and on the building decarbonization and the
4 forecast and the gas volume and the reliability work, just
5 all for lots of staff mobilized to put together what's
6 turning out to be a really great product.

7 And I wanted to also thank Commissioner Gunda for
8 really driving big pieces of that. And also our colleagues
9 at the PUC, particularly for helping chime in on some of
10 the stickier issues that have come up. So much more to
11 come on that, but I just wanted to make sure to do those
12 two things.

13 So Judge Gilbert Stroud Merritt, he is my mom's
14 first cousin. They grew up together, roughly the same age.
15 And I grew up with his kids and all in Middleton,
16 Tennessee; Nashville, Tennessee and in Virons (phonetic).
17 And he, as the Chair said, he was a member of the sixth
18 circuit in Cincinnati in the Federal appellate court for 44
19 years. And just a huge influence in the federal system.
20 And just lots of interesting cases, and I won't go through
21 all of them, there are a few that are -- just a couple that
22 I really wanted to just kind of mention in terms of the
23 fanatic systematic emphasis.

24 But he was an incredibly smart man, he was sort
25 of a fixture of both judiciary and kind of the political

1 scene in the Democratic Party, the big "D," in Tennessee.
2 And through the course of the 60s, when I was born and
3 growing up and then went off to college, kind of the
4 southern strategy sort of played out in that whole region;
5 went quite a bit, kind of went to the conservative end of
6 the political spectrum. And he was a real fixture on the
7 liberal end and liberal kind of with a big "L," not the way
8 it's used today.

9 And he was appointed actually as a Federal D.A.
10 for Middleton, Tennessee, when he was 29 years old. And
11 really just was a public servant through and through, had
12 been at the city of Nashville before that.

13 But he had a lifelong commitment to equal justice
14 and civil rights. And just time and time again he just
15 took a stand in ways that really weren't always popular.
16 But he just had an ethical core, and he did it very matter-
17 of-factly in many cases, but just really set an example.
18 Opened up opportunities for women when there were very few
19 women in the certainly appointed positions, but even just
20 within the senior legal community. And he created
21 opportunities also for African Americans, again, in a
22 period when there were just very few and very few
23 opportunities available. Lifelong opponent of the death
24 penalty. And again, not always popular in that era, in
25 that place.

1 But I think it's interesting these issues are
2 still roiling in our society today. And you know, we are
3 all sort of in a California environment, which is a very
4 specific one. But I think if you step back and sort of
5 locate him and what was happening in that place in the
6 Southern U.S. during the civil rights movement it really
7 takes on a lot of significance, kind of the example that he
8 set.

9 And so just on principle he was just an amazing
10 jurist. But also, he was just personally really quite
11 charismatic and just a really warm human being. And I
12 think that really helped him, both sort of really gather a
13 team around him, just sort of be a leader in a way that was
14 very accessible, and I think helped people come along when
15 that was really important.

16 I guess one of his clerks -- he had many, many
17 clerks obviously over the years, but one of them tells this
18 story about he was personally very warm, and across the
19 political spectrum it didn't really matter, he just was
20 easy to relate to as a person. But he would say a bit. So
21 he got along with even the most conservative members of the
22 same bench and just across the judiciary. But about one of
23 his colleagues, he said, "Well he's to the right of Attila
24 the Hun, but personally I like him." And so just very
25 emblematic of kind of his approach to being a bench, just

1 had a personal warmth about him.

2 So it was always very instructive to listen to
3 him talk about his cases and sometimes it was pretty
4 hilarious. But I just wanted to just call out his example,
5 obviously because he's a family member. And my mother and
6 his kids now, I mean, we're all sad to see him go. He died
7 of metastatic pancreatic cancer, was in hospice for a
8 number of weeks before that. And his kids Clark and Stroud
9 and Eli were able to just spend a lot of time with him and
10 manage the pandemic problems, which are difficult these
11 days. But I wanted to just honor him and his legacy in a
12 time where it just seemed important to do so. So really
13 thanks for the opportunity and I really appreciate
14 everyone's attention.

15 CHAIR HOCHSCHILD: Well thank you so much for
16 sharing that, Commission McAllister.

17 And I think it's so important to hear these
18 inspiring stories of people who lived lives well-lived.
19 And by pure happenstance it turns out that this judge's son
20 was my neighbor in San Francisco, who I knew from a common
21 effort, we were engaged on trying to fix up the local
22 playground. And only later realized his connection after
23 Andrew mentioned Judge Gilbert had passed away, so thank
24 you for sharing that.

25 And just an open invitation to my colleagues if

1 there is ever anyone that has passed away, and you'd like
2 to adjourn a meeting in their memory, just always let me
3 know and we'll do that and have an opportunity to hear the
4 reflections.

5 So I'll just share a few things. I'd like to
6 begin with this Salton Sea trip that Commissioner Douglas
7 and I did. The take-home point for me on the Salton Sea
8 side of it was that the latest estimate from CTR about what
9 that region can produce at full capacity is 600,000 tons
10 annually, of nothing, I just want to put that in context.
11 The total global market today for lithium is 400,000, times
12 okay, so this is bigger than the global right now because
13 this market is growing rapidly and will be at 2 million
14 times in a very short -- just a couple of years, but this
15 is a very significant development because it's so green and
16 the footprint is so small. It's really the greenest way to
17 produce lithium the world, and not by little, by a lot.
18 And it was just encouraging to really get a sense of the
19 size of the resource. So we're working together to do a
20 symposium. We'll have more to say about that soon, but
21 we're aiming for the week of Earth Day, and we'll have more
22 we'll be sharing on that as we all get that.

23 Earlier before that I was able to go along with
24 Dee Myers from GO-Biz and Karen Skelton from the Department
25 of Energy and my Chief of Staff LeQuyen to visit Mountain

1 Pass. So Mountain Pass is a rare earth facility just
2 inside the border with Nevada. They produce 15 different
3 rare earths including the most significant, which is
4 neodymium, which you have like two pounds of that in every
5 single electric vehicle. So they produce enough on this
6 site to supply 20,000 electric vehicles a day and they are
7 scaling rapidly.

8 We don't actually have, I learned, magnet
9 manufacturing left in the United States; it's all gone.
10 And so that's part of their vision is to bring that back.
11 They've gotten a \$10 million grant from the Department of
12 Defense to support that for strategic reasons.

13 And they give me the full tour, it's a massive
14 resource. The estimate was about \$20 billion worth of
15 these rare earths on this site. And it's really the best
16 facility of its kind in the world. And when I say that I'm
17 talking about the percentage of the ore that is actually
18 rare earth, and it's basically 8 percent versus China,
19 which is where most of this stuff comes from, which is
20 closer to 1.5 percent. So it's just much less processing
21 that you need to do, it's a really special site.

22 And again, we have what I call geographic good
23 fortune in California to have some of these resources that
24 are fundamental to the Plan B economy. And so we had
25 opportunity to put them in touch with various incentives

1 and tax credits they can take advantage of them. That was
2 really fruitful visit.

3 I did want to ask if I could, Dorothy if you
4 could pull up the two slides I wanted to share? Vice Chair
5 Gunda and I did a briefing with the Governor this past,
6 early this week. And which we do periodically along with
7 our sister agencies on reliability. And just to give a
8 sense of how quickly we're adding battery capacity -- you
9 can see this slide here -- is really inspiring actually,
10 that it's coming on so rapidly. If you go to the next
11 slide, Dorothy.

12 You can see that -- if you can zoom in, I don't
13 know if we can make it bigger -- but basically, the
14 batteries are being dispatched right when and where most
15 needed. And so the batteries are coming in and really
16 helping with peak, which is precisely what we want. And
17 this ties to the lithium values in that what we want to be
18 doing California is the entire ecosystem. We want to be
19 producing lithium sustainably in an ecologically conscious
20 way. We want to be deploying it with electric vehicles and
21 energy storage. And we want to be making those batteries
22 here in California.

23 And so just as an example, this past week SPARKZ,
24 which is a company we've funded at the Energy Commission
25 making cobalt-free lithium batteries, has now got a

1 facility in Livermore and they're scaling up their
2 operations. And we're engaged in discussions with a number
3 of other companies to help make more of that happen here,
4 because there's a lot of advantages to doing it locally.

5 And by the way, one interesting thing that I
6 learned and did not know in when we did the Lithium Valley
7 visit there is actually a potentially great process savings
8 if you could actually do battery manufacturing onsite where
9 the lithium is produced, which is when they're producing
10 the lithium it's in a fluid, right? And so one of the
11 things that they have to do with the process happens is get
12 rid of the fluid and turn lithium into a solid so it can be
13 shipped. And of course, then the battery company gets it
14 and the first thing they do is put it into a fluid. So if
15 there's a way to actually have it be piped to directly, you
16 can have a process savings on both sides of that. So it's
17 interesting to think about and see if we can make something
18 like that happen.

19 So really fruitful visit. And I just want to
20 thank LeQuyen who just effortlessly, magnificently pulls all
21 this stuff together. And it was a wonderful tour, we had a
22 great visit with some of Assemblyman Garcia, Senator Hueso
23 and many of the other key stakeholders.

24 So with that, that was Item 11. And we can turn
25 now to 12, the Executive Director's Report. Drew.

1 MR. BOHAN: Thank you Chair, good afternoon,
2 Commissioners. No report today.

3 CHAIR HOCHSCHILD: Okay, Public Advisor's Report,
4 Noemi?

5 MS. GALLARDO: Hi there, I have a really quick
6 report. I just wanted to let you know that we're starting
7 to get prepared for the Diversity Report, which is one of
8 the ways that we inform the public about the various
9 efforts Energy Commission is doing to advance inclusion,
10 diversity, equity, access in environmental justice. So
11 we're very excited about that and more to come.

12 And then I also wanted to give you a heads-up
13 that I'm working on figuring out an approach for our
14 engagement with communities throughout California that's
15 more regionally focused. This is something I've been
16 talking to Vice Chair Gunda to about in particular, given
17 the work that will be happening on IEPR. So whether that's
18 remote meetings that we're doing or in-person or hybrid, I
19 wanted to do, bring a more of an intentional approach
20 that's focusing in certain areas. So there'll be a lot
21 going on in the Imperial region as we've been hearing about
22 Lithium Valley. And then also will be focused on other
23 areas.

24 So that's it, quick report there. And, Chair, if
25 you're ready I can give the instructions on public comment.

155

1 CHAIR HOCHSCHILD: That would be great, Noemi,
2 thank you.

3 MS. GALLARDO: Okay, so moving to public comment
4 this is the period for any person wishing to comment on
5 information items or reports of the meeting agenda or any
6 other item.

7 Each person has up to three minutes to comment.
8 And comments are limited to one representative for
9 organization. We may reduce the comment time period, or
10 excuse me, comment time, depending on the number of
11 commenters. Please use the raised-hand icon to indicate
12 your interest in making public comment. If you're on the
13 phone press *9 to raise your hand and *6 to unmute.

14 After you are called on, please restate and spell
15 your first and last names, state your affiliation if you're
16 representing a tribe, agency, organization or any other
17 type of entity. Do not use the speakerphone when talking
18 because we will not hear you clearly.

19 I will look for hands now. I do see there is a
20 hand raised or two. We'll start with what looks like
21 CALSSA. Just a reminder to please state your name, spell
22 your name, and indicate your affiliation. Your line is
23 open, you may begin. (No audible response.) And you may
24 need to unmute on your end.

25 MR. TREGUB: And thank you so much. And for the

1 record, this is not CALSSA. This is Igor Tregub speaking
2 in my role as the California Democratic Party Environmental
3 Caucus Chair.

4 I wanted to let that the California Democratic
5 Party last year passed unanimously as a reaffirmation, a
6 resolution in strong support of saving rooftop and local
7 solar in support of making solar more affordable, not less.
8 And I just wanted to urge you to do even more.

9 I appreciate what you're doing now, and I wanted
10 to urge you to do even more to weigh in to the CPUC. I'm
11 extremely concerned about where the NEM 3 proceeding is
12 going at the CPUC in terms of allowing us to achieve our
13 state's energy efficiency regulations, in terms of allowing
14 us to reach the highest echelons of what we need to do
15 through Title 24, the residential and commercial codes, as
16 well as the impact that it will have on meeting the state's
17 100 percent clean energy goals in a timely matter.

18 And of course I don't have to tell you that this
19 is important to California and the rest of the nation,
20 because we are a leader. And especially right now when the
21 Biden Administration has been looking to California to not
22 only be the leader but also a model for what is being
23 proposed across the nation, this is not the time to slam
24 the brakes on solar adoption. Particularly solar adoption
25 for working class and middle-class folks which in 2019 per

1 an LBNL report represents 66 percent of all solar adopters
2 in California.

3 So I wanted to let that I am joined by over 100
4 Democratic Party leaders from across the state, 19 Caucus
5 Chairs have signed on to the same statement: No solar tax,
6 not one cent. Keep the power of the sun affordable and
7 accessible to all. Don't punish folks, hard-working
8 families that are doing their best to try to do the right
9 thing for the environment and for all of us. Thank you so
10 very much.

11 CHAIR HOCHSCHILD: Thank you.

12 MS. GALLARDO: Thank you.

13 CHAIR HOCHSCHILD: Do we have other public
14 comments Noemi?

15 MS. GALLARDO: We do. We have several hands
16 raised. Igor, though, we do need the spelling of your
17 name, first and last, just to make sure we get that
18 correct.

19 MR. TREGUB: Sure. For the record it's I as in
20 India-G as in golf-O as in opera-R as in Romeo. And last
21 name is Tregub, T as in Tango-R as in Romeo-E as in Echo-G
22 as in Golf-U as in Uncle-B as in Bible. And again, so
23 sorry about the mishap on the Zoom account audio.

24 MS. GALLARDO: Not a problem, thank you.

25 All right, so up next, we have Cailey Underhill.

1 A reminder to please restate your name, spell it, and
2 indicate your affiliation if any. Cailey, your line is
3 open and you may begin.

4 MS. UNDERHILL: Hello, my name is Cailey
5 Underhill, spelled C-A-I-L-E-Y. My last name is spelled U-
6 N-D-E-R-H-I-L-L. And I'm calling with the Solar Rights
7 Alliance.

8 I'm extremely concerned with where the NEM 3.0
9 proceeding is going at the California Public Utilities
10 Commission. Both in terms of the state's energy efficiency
11 regulations through T 24, but even more importantly, the
12 impacts it will have on meeting the state's 100 percent
13 clean energy goals in a timely manner dictated by science.
14 We should be accelerating clean energy adoption not slowing
15 it down.

16 As the lead agency in charge of directing the
17 state's efforts on getting to 100 percent I'm asking you to
18 please step in and play a more active role in keeping
19 California on track as a clean energy leader. This is
20 important to California and the rest of the nation.
21 California should be a leader of progressive clean energy
22 policy, not a source of inequitable, unjust and pro-dirty
23 energy policy making.

24 The NEM 3 proposed decision should be scrapped,
25 and the Commission should start all over. No solar tax, no

1 retroactive changes, clear gradual changes to NEM. Please
2 promote low- income, middle, and working classes. Thank
3 you for your time.

4 MS. GALLARDO: Thank you.

5 Next is Selena Feliciano. Selena, a reminder to
6 please restate your name, spell it, indicate your
7 affiliation if any. Your line is open, you may begin.

8 MS. FELICIANO: Hi everyone, thank you. My name
9 is Selena Feliciano, spelled S-E-L-E-N-A and F-E-L-I-C-I-A-
10 N-O and I'm calling today as a community member.

11 And first, I just wanted to thank you for all
12 that you're doing in the state of California to advanced
13 climate resiliency. I live in West Oakland, and I am part
14 of a community that is hit hardest by climate change.
15 We've got some of the worst air pollution in the state.
16 We've seen what the wildfires can do from hundreds of miles
17 away. And also are most in need of initiatives that
18 advance our ability to be empowered to power, the way our
19 homes are turned on and off, how we keep our food cold, and
20 how we keep our medicines stable.

21 And I want to echo what has been shared by the
22 previous two commenters around the proposed decision by the
23 CPUC. And because my community is hardest hit by climate
24 change we're also hardest hit by the current investor-owned
25 utility model. So while PG&E remains beholden to

1 shareholders, they've caused destructive wildfires that
2 have impacted my neighborhood where childhood asthma rates
3 remain the highest in the state. They've caused rolling
4 blackouts for my neighborhood. And they also continue to
5 increase rates in pursuit of an ever-growing profit margin.

6 And I believe that rooftop solar when it is
7 paired with incentives and subsidies can provide an
8 opportunity for community members to generate their own
9 power to lower their energy bill and to build for a future
10 where they're no longer beholden to PG&E negligence.

11 Right now, this discourse is really tricky
12 because equity is so important in the ways in which we plan
13 for the future of energy. But I think that PG&E is
14 exploiting the equity narrative for their own profit
15 margin. And I think that you all as leaders can see
16 through that this proposed decision is a blatant
17 manipulation of narratives that exploit poor working-class
18 families in pursuit of a corporate bottom line. And I
19 think that frontline communities deserve better and that
20 the people of California should be able to build a real
21 energy democracy, and one that leverages tools like solar
22 to grow resiliency in the face of a changing climate.

23 So again, thank you for your work and thank you
24 for listening to this comment. And as much as you can
25 please utilize your influence to help shape an energy

1 future that is healthy and resilient for all California
2 communities.

3 MS. GALLARDO: Thank you, Selena.

4 So next up is a phone number ending in 688. So
5 again, phone number ending in 688 your line is open. A
6 reminder to please state your name, spell it, indicate your
7 affiliation if any. And you may need to unmute on your
8 end. You may begin.

9 MS. MILLER: Thanks. Thank you, my name is Lee
10 Miller. I live in Sacramento, California. My husband and
11 I are retirees.

12 You know, I find the California PUC's proposal
13 just ridiculous. Their claims that the California PUC and
14 the California utilities have this thought that all rooftop
15 solar people are rich, we are by no means rich. We got a
16 rooftop solar because we wanted to do the right thing, we
17 want a better life for our children, better clean air for
18 us all. And that's why we did and that's why we purchased
19 our rooftop solar system.

20 The other thing that's bothering me is this
21 cautious claim by the California PUC and also by the
22 California utilities. In actuality, rooftop solar and
23 battery storage helps us to reduce the cost of electrical
24 grid, saving all of us, all ratepayers money. Each and
25 every one of us, we pay a fixed rate. We pay a fixed fee

162

1 each month and that's supposed to go to maintenance,
2 whether you own solar not. The continued growth of rooftop
3 solar and battery is key to the successful clean energy
4 transition and puts the needs of the public at the center,
5 with lower costs, protections from blackouts, and quicker
6 pollution reductions that if we simply double down on doing
7 more long-distance energy.

8 The most detailed modeling also shows that
9 integrating lots of local solar and storage and with large-
10 scale renewables as part of the clean energy transition
11 could save California over \$120 billion over the next 30
12 years. These savings occur because local distributed
13 energy reduces the price tag of long-distance power lines
14 and peak demand infrastructure. It doesn't eliminate it
15 altogether, but it does reduce the risk and expense, with
16 major economic benefits flowing to individuals and
17 communities.

18 But the California PUC and utilities, they have a
19 different story. They claim that rooftop solar is bad for
20 California. They're claiming that solar users impose an
21 annual \$3 billion on other taxpayers, and this is what
22 they're calling a cost shift. And it happens because solar
23 users don't pay their fair share in the electrical grid and
24 that the credit we receive for our energy, that is
25 overvalued.

1 In both cases that they hired this consultant,
2 E3, we had them also do the same thing to us here in
3 Sacramento with SMUD with the NEM 2.0 rates where they use
4 these accounting practices that aren't really in line with
5 what they should be doing. So, for instance, they count
6 the energy made and used onsite, instead of buying it from
7 the utilities as a cost to other taxpayers. That's just
8 plain garbage. I mean, this is similar to arguing that
9 households with vegetable gardens are forcing households
10 without garden to pay more for food.

11 MS. GALLARDO: Sorry for interrupting, this is
12 Noemi Gallardo, the Public Advisor. The three-minute time
13 limit is up, so I apologize for interrupting.

14 MS. MILLER: Thank you. No, not a problem.
15 Thank you very much for letting me speak. And California
16 PUC is on the wrong side of this. Thank you very much and
17 have a great day.

18 MS. GALLARDO: Thank you for your comments.

19 Next up is Joan. A reminder to please state your
20 name, spell it, and indicate your affiliation if any. Joan
21 your line is open, and you may begin.

22 MS. TAYLOR: Hello, can you hear me?

23 MS. GALLARDO: Yes, we can.

24 Ms. Taylor: Thank you. Joan Taylor, J-O-A-N T-
25 A-Y-L-O-R, speaking for myself as a resident of Palm

1 Springs. Photovoltaic solar is a disruptive technology.
2 It does not have to be tethered to wires. Let's be on the
3 right side of history on this. The CPUC PD (phonetic) is
4 regressive and it's a gift to the utilities and will cause
5 overbuilding of transmission and future charges for all
6 ratepayers. We already have the highest rates in the
7 country, or some of them.

8 The PUC failed to value solar for all its
9 benefits for local reliability and shutting down gas plants
10 and so forth. Most importantly, the continued growth of
11 customer-side solar is needed to meet our SB 100 goals per
12 your agency's SB 100 report.

13 So please help ensure that there is a fair NEM 3
14 that ensures access by both low- and moderate-income
15 customers and truly incentivizes batteries, which the PD
16 does not. And ensures the continued growth of solar to
17 meet the state's decarbonization needs. And thanks very
18 much for your time.

19 MS. GALLARDO: Thank you, Joan.

20 All right next up is Jan Dietrick. Jan,
21 apologies if I mispronounced that. Please restate your
22 name, spell it for the record and indicate your
23 affiliation, if any. Your line is open, and you may begin.
24 (No audible response.) Jan, you may need to unmute on your
25 end.

1 MS. DIETRICK: Right, there we go. Jan Dietrick,
2 that D-I-E-T-R-I-C-K. I'm a resident of Ventura,
3 California. And I'm joining Igor Tregub and Kelly with the
4 Solar Rights Alliance and joining Joan Taylor, who all
5 expressed the sentiment of our groups here the Ventura
6 County Climate Hub and the 350 Southland Legislative
7 Alliance, in our opposition to the proposed decision for
8 the Net Energy Metering.

9 The NEM proceeding at the CPUC it's truly, I
10 repeat, hard to believe in terms of state's energy
11 efficiency regulations in Title 24 and the impacts on
12 obviously urgent clean energy goals. The proposed decision
13 to undercut rooftop solar just doesn't make any sense.
14 Perhaps you can work with the governor to help the CPUC
15 stay on track as a clean energy, for California, to be a
16 clean energy leader.

17 The NEM proposed decision needs to be revisited
18 with a proper understanding of costs and benefits, starting
19 over in developing the policy in this proceeding. CPUC
20 really has to fix the Avoided Cost Calculator, which
21 becomes very obvious when you read the proposed decision.

22 We must be, of course, accounting for the
23 benefits from rooftop solar and battery storage for health,
24 for land uses, for reliability. There are clearer ways to
25 achieve equity for all that accelerate rather than slows

1 down rooftop solar, including vastly more storage from
2 batteries. Thank you very much.

3 MS. GALLARDO: Thank you.

4 Next up we have Charles Adams. Charles, reminder
5 to restate your name, spell it for the record, and indicate
6 your affiliation if any. Your line is open, you may begin.
7 (No audible response.) You may need to unmute on your end
8 Charles. Charles Adams your line is open. (No audible
9 response.) You may need to unmute on your end Charles.
10 Charles Adams your line is open, you may need to unmute on
11 your end on the screen.

12 MR. ADAMS: Sorry. Charles Adams, Albion Power
13 Company, C-H-A-R-L-E-S A-D-A-M-S, A-L-B-I-O-N P-O-W-E-R
14 Company.

15 I wanted to I guess echo some of the comments on
16 the Avoided Cost Calculator. We were party to the hearing.
17 The Avoided Cost Calculator has value of the environment at
18 four tenths of a cent, that's an issue.

19 There's an ongoing misrepresentation about equity
20 that I'd like to touch on of the solar farm model versus
21 local economies that NEM, when it was designed in 1996 was
22 set to support local economies. Solar farms are far more -
23 - use far more land and material than rooftop solar, so
24 this idea that they're incredibly efficient and rooftop
25 solar is not, is not true.

1 Solar farms are financed through tax equity
2 transfers, known as sale-leasebacks. And this means that
3 the investment banks of the world put up 40 percent of the
4 system costs and receive 60 percent of the cost as tax
5 credits. In this way solar farms are a tax shift towards
6 the 1 percent. You're shifting those benefits away from
7 local economies. You can look at Institute for Local Self-
8 Reliance or any White Paper that says, "Local economies
9 build local jobs, decrease inequality, increase wages,
10 higher income growth, lower levels of poverty, civil well-
11 being."

12 The idea that solar farms are much cheaper is
13 inaccurate. Renewable energy tax equity was a \$13 billion
14 market in 2019, \$18 billion in 2020. Two banks, JP Morgan
15 and Bank of America, accounting in both years for more than
16 half of that market. JP Morgan and Bank of America are the
17 two largest fossil-fuel financiers in the world.

18 I'd also encourage the Commission to take a look
19 that NEM and rooftop solar should be considered part of 30
20 by 30. NEM creates a policy that put solar in the built
21 environment and conserves land. NEM creates policy that
22 inherently assigns economic value to the environment, and
23 it builds local economies, as I just touched on.

24 Only 23 percent of the wilderness remains in the
25 world. We built solar farms, they're pretty destructive.

1 California is down to 22 percent of its land remaining, so
2 at that decline of 6 percent since 1954, 0.6 percent since
3 1954, all the wildernesses will be gone in 40 years.

4 The four tenths of a cent for nature in the
5 ACEC, I don't even know what you guys are looking at.
6 Industrial capitalism liquidates the largest sources of
7 capital and employees. Natural resources don't account for
8 them at all, calls them "income" and does not account for
9 their permanent loss. We need to fix that if we're ever
10 going to get out of any of this. NEM was part of that 20
11 years ago. That's been lost. California doesn't seem to
12 remember why we created these policies in the first place.
13 Thank you very much.

14 MS. GALLARDO: Thank you.

15 Next is Dan. Dan, a reminder to please restate
16 your name, spell it and indicate your affiliation, if any.
17 Your line is open, you may begin.

18 MR. HODDAPP: Hi, my name is Dan Hoddapp. One
19 moment here, I got my text. My name is spelled D-A-N, and
20 Hoddap is H-O-D-A-P-P. I shall be brief, thank you for
21 your work to address our climate crisis and be a leader on
22 this issue for California and for other states that see
23 California as a model.

24 Please intervene with the disastrous PUC proposal
25 that would effectively stop new rooftop solar. Please help

169

1 the PUC adopt a NEM 3.0 that encourages rooftop solar and a
2 decentralized power grid that would require less
3 infrastructure and more clean power.

4 I am not affiliated with any organization or part
5 of the solar industry. And thank you for your
6 consideration of my view on this important topic and
7 policy, and please continue to make California a climate
8 leader not a national embarrassment on this issue. Thank
9 you.

10 MS. GALLARDO: Thank you.

11 Next is Ben Grundy. A reminder to please restate
12 your name, spell it for the record, and indicate your
13 affiliation if any. Ben your line is open, you may begin.

14 MR. GRUNDY: Hello, my name is Ben Grundy, that's
15 B-E-N G-R-U-N-D-Y. And I'm the Global Warming Solutions
16 Associate with Environment California, a statewide advocacy
17 group that works for clean air, clean water and open
18 spaces.

19 I'm extremely concerned where the NEM 3.0
20 proceeding is going at the California Public Utilities
21 Commission, both in terms of the state's energy efficiency
22 regulation through T 24, but even more importantly the
23 impact it will have on meeting the state's 100 percent
24 clean energy goals in a timely manner dictated by science.
25 We should be accelerating clean energy adoption not slowing

1 it down.

2 As the lead agency in charge of directing the
3 state's efforts on getting to 100 percent I'm asking you to
4 step in and play a more active role in keeping California
5 on track as a clean energy leader. This is important to
6 California and the rest of the nation. California should
7 be a leader of progressive, clean energy policy not a
8 source of inequitable, unjust and pro-dirty energy
9 policymaking.

10 The NEM 3 proposed decision should be scrapped,
11 and the Commission should start all over: no solar tax, no
12 retroactive changes, clear gradual changes to NEM, promote
13 low-income, middle and working classes. Thank you.

14 MS. GALLARDO: Thank you.

15 Next is Jane Affonso. Jane, reminder to restate
16 your name, spell it for the record, and indicate your
17 affiliation if any. Your line is open, you may begin.

18 MS. AFFONSO: Hi, my name is Jane Affonso, J-A-N-
19 E, Affonso A-F-F-O-N-S-O. I'm the Vice President of the
20 Lutheran Office of Public Policy.

21 And as a person of faith I'm very frustrated that
22 this body is considering a policy and using poor
23 communities and people of color communities to justify an
24 obvious transfer of wealth to the 1 percent in the case of
25 investor-owned utilities and hedge funds. And it's just

171

1 it's quite frustrating. So I agree that this decision
2 should be scrapped, and you need to start all over and not
3 tinker around the edges. And promote renewable energy
4 that's decentralized so we can decentralize political power
5 as well as our energy power and promote low-income and
6 middle-income and working-class local jobs, communities of
7 color.

8 It's not rocket science. And it's clear that the
9 public is on to what you all are doing. And it's so
10 frustrating that we're having to do this in a state like
11 California that we consider to be a leader on this issue.
12 And I'm really surprised that our governor has not taken a
13 stronger stance so far.

14 But I hope you're listening to this community.
15 It's just we have so many other fights to battle and it's
16 frustrating that we're having to spend this time and I'm
17 sure some of you are having the same feeling. So I really
18 appreciate your willingness to listen and open up and think
19 about your grandchildren and the community and creation
20 (phonetic) care as you make this decision, thank you.

21 MS. GALLARDO: Thank you.

22 Next is Susanna Saunders. Susannah, a reminder
23 to restate your name, spell it for the record, and indicate
24 your affiliation if any. Your line is open, you may begin.

25 MS. SAUNDERS: Hello, my name is Susannah

1 Saunders, it's S-U-S-A-N-N-A-H and last name is Saunders,
2 S-A-U-N-D-E-R-S. I'm with the Indivisible California Green
3 Team. I'm a member. I do not speak for the organization,
4 but we've been working hard on this issue.

5 And I want to just quote from Ahmad Faruqui who
6 was just on Canary Media doing a debate about this issue,
7 and he said -- and he's a premier energy analyst -- he
8 said, "I think the proposed decision is a horrible mistake
9 and it should be thrown out. The California Public Utility
10 Commission needs to start from scratch, get rid of the grid
11 access charge, it is insufferable. California wants to
12 promote clean energy. It wants to decarbonize the state.
13 If this decision is approved, we will look really bad. I
14 think this was an embarrassment. I hope we get over it,
15 otherwise it'll be a terrible mark on our report card," and
16 he is an energy expert.

17 I am a California citizen I'm extremely
18 conservative where the NEM 3.0 proceeding is going at the
19 CPUC, both in terms of the state's energy efficiency
20 regulations through T 24, but even more importantly the
21 impact it will have on meeting the state's 100 percent
22 clean energy goals in a timely manner, which your office
23 has said we need to triple rooftop solar to meet our clean
24 energy goals. We should be accelerating clean energy
25 adoption not slowing it down.

1 As the lead agency in charge of directing the
2 state's efforts on getting to 100 percent I'm asking you to
3 step in and play a more active role in keeping California
4 on track as a clean energy leader. This is important to
5 California and the rest of the nation. California should
6 be a leader in progressive clean energy policy, not a
7 source in an unequitable, unjust and pro-dirty energy
8 policy making. The NEM 3 proposed decisions should be
9 scrapped, and the Commission should start all over: no
10 solar tax, no retroactive changes, clear gradual changes to
11 NEM, promote low-income, middle and working classes.

12 Some energy experts say utilities will not be
13 able to produce or buy enough renewable energy to replace
14 what would be lost from the decline in rooftop solar
15 panels, which supplied 9 percent of the state's electricity
16 in 2020, more than nuclear and poles (phonetic) put
17 together.

18 "California would need to set aside about a
19 quarter of its land for renewable energy to meet its
20 climate goals without expanding rooftop solar," and this is
21 from Mark Jacobson, a professor of civil and environmental
22 energy at Stanford. So I'm asking you to please intervene
23 on this proposal and that there be no tax, no penalty, no
24 decrease to the incentives for rooftop solar. Thank you.

25 MS. GALLARDO: Thank you.

1 So Chair, I do not see any more hands at this
2 time.

3 CHAIR HOCHSCHILD: Okay, thank you, Noemi. Let's
4 move on to Chief Counsel's Report, Item 15.

5 MS. BARRERA: Nothing, I don't have an update for
6 today. Thank you.

7 CHAIR HOCHSCHILD: Okay, thanks everyone. We're
8 adjourned.

9 (The Business Meeting adjourned at 3:02 p.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 11th day of February, 2022.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 11th day of February, 2022.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852