

DOCKETED

Docket Number:	22-BUSMTG-01
Project Title:	Business Meeting Agendas, Transcripts, Minutes, and Public Comments
TN #:	242212
Document Title:	Transcript of 02-16-2022 Business Meeting
Description:	N/A
Filer:	Liza Lopez
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	3/7/2022 10:35:34 AM
Docketed Date:	3/7/2022

BUSINESS MEETING
BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:)
) 22-BUSMTG-01
 Business Meeting)
)
_____)

REMOTE ACCESS ONLY

Public comment is accepted solely through the Zoom platform.

The California Energy Commission's (CEC) February 16, 2022 Business Meeting will be held remotely, consistent with Assembly Bill 361 (Rivas, Chapter 165, Statutes of 2021) to improve and enhance public access to state meetings during as extended by Governor Newsom's Executive Order N-1-22 to improve and enhance public access to state meetings during the COVID-19 pandemic. The public can participate in the business meeting consistent with the direction provided below.

Please note that the CEC aims to begin promptly at the start time and the end time is an estimate based on the agenda proposed. The business meeting may end sooner or later than the time indicated depending on various factors.

Pursuant to California Code of Regulations Title 20 section 1104(e), any person may make oral comment on any agenda item. To ensure the orderly conduct of business, such comments will be limited to three minutes or less per person. Any person wishing to comment on information items or reports (non-voting items) shall speak during the general public comment portion of the meeting and have three minutes or less to address all remaining comments.

WENESDAY, FEBRUARY 16, 2022

10:00 A.M. - 4:00 P.M.

Reported by:
Peter Petty

APPEARANCES

Commissioners (Via Remote)

David Hochschild, Chair
Siva Gunda, Vice Chair
Karen Douglas (Absent)
Andrew McAllister
Patricia Monahan

Staff Present: (Via Remote)

Drew Bohan, Executive Director
Linda Barrera, Chief Counsel
Noemi Gallardo, Public Advisor
John Heiser, Lead Compliance Project Manager
Geoff Lesh, Engineering Office Manager
Eric Knight, Siting and Environmental Office
Jared Babula, Legal Counsel

	Agenda Item
Elizabeth Huber	2
Heather Raitt	3
Heather Bird	3
David Erne	3
Nick Fugate	3
Charles Smith	3
Deana Carrillo	4
Erik Lyon	5
Jeffrey Lu	6
Esther Odufuwa	7
Michael Ferreira	8
Quenby Lum	9
Mike Gravely	9
Sean Lockwood	10

APPEARANCES (Cont.)

	Agenda Item
<u>Public Comment</u> (Via Remote)	
Daniel Orozco, Momentum, SSA Pacific, Inc. for Joe Carrillo	1
Scott Galati, attorney for SEGS III-IV	2
Delphine Hou, California Independent System Operator (CAISO)	3,5
Jennifer Lu, Southern California Gas Co. (SoCalGas)	3
Kiki Velez, National Resources Defense Council (NRDC)	3,4
Luis Amezcua, Building Decarbonization Coalition	3
Bryan Mikesh, DEKRA Certification, Inc.	6
Dedrick Roper, ChargePoint, Inc.	7
Joseph A. Scherer, GreenFire Energy, Inc.	8
Jenn Gallegos, Yotta Energy	8
Claire Warshaw	15

I N D E X

	Page
Proceedings	6
Items	
1. Consent Calendar	9
a. SSA Pacific, Inc.	
b. Linde Inc.	
c. Pilot Travel Centers LLC (DBA Pilot Flying J) .	
d. International Council on Clean Transportation Inc.	11
e. Rice Solar Energy, LLC.	
2. Solar Energy Generating Systems (SEGS) III-VII Petition to Amend (87-AFC01C).	13
3. 2021 Integrated Energy Policy Report (Docket 21-IEPR-01) .	18
4. Building Initiative for Low-Emissions Development (BUILD) Program (20-DECARB-01) .	61
5. Report to the CPUC on Supply-Side Demand Response (DR)	74
6. DEKRA Certification, Inc.	95
7. ChargePoint, Inc.	103

I N D E X (Cont.)

	Page
8. Bringing Rapid Innovation Development to Green Energy - GFO-20-301	130
a. Yotta Energy, Inc.	
b. GreenFire Energy Inc.	
9. RockeTruck, Inc.	130
10. Bringing Rapid Innovation Development to Green Energy - GFO-20-301.	137
a. Proposed resolution approving Agreement 002-21-ECI with the City of Eureka (City) for a \$1,392,677 loan	
b. Proposed resolution approving Agreement 003-21-ECI with the City of San Leandro (City) for a \$1,284,140 loan	
11. Minutes.	144
12. Lead Commissioner or Presiding Member Reports.	145
13. Executive Director's Report.	161
14. Public Advisor's Report	163

I N D E X (Cont.)

	Page
15. Public Comment	164
16. Chief Counsel's Report	167
Adjournment	xxx
Reporter's Certificate	xxx
Transcriber's Certificate	xxx

1

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

FEBRUARY 16, 2022 10:02 a.m.

(Start of Introductory Video.)

MS. MURIMI: Welcome to the California Energy Commission's Business Meeting.

Zoom's closed captioning feature has been enabled to make Energy Commission business meetings more accessible. Attendees can use this feature by clicking on the "Live Transcript" icon and then selecting either "Show Subtitle" or "View Full Transcript." Closed captioning can be stopped by closing out of the live transcript or selecting "Hide Subtitle." Those participating solely by phone do not have the option for closed captioning.

The Energy Commission will continue to post the transcript of this Business Meeting rendered by a professional court reporter in the docket system and on the Business Meeting webpage.

This meeting is being held remotely consistent with Assembly Bill 361 as extended by Governor Newsom's Executive Order N-1-22 to improve and enhance public access to state agency meetings during the COVID-19 pandemic. The public can participate in the Business Meeting consistent with the instruction for remote participation found in the notice of this meeting, and as set forth in the agenda posted to the Energy Commission's website.

1 Pursuant to California Code of Regulations Title
2 20 section 1104(e) any person may make oral comments on any
3 agenda item.

4 Once the public comment period begins if you'd
5 like to speak, please raise your hand by clicking on the
6 "Raise Hand" icon at the bottom of your screen. Please
7 note that if Zoom were to shut down, we would switch to the
8 Verizon phone line at (888)823-5065. The pass code is
9 "Business meeting." Public comment would then be accepted
10 through Verizon.

11 To ensure the orderly and fair conduct of
12 business, public comments will be limited to three minutes
13 or less per person for each agenda item voted on today.
14 Any person wishing to comment on the information items or
15 reports, which are non-voting items, shall reserve their
16 comment for the general public comment portion of the
17 meeting. And shall have a total of three minutes or less
18 to state all remaining comments.

19 If you're joining by phone press *9 to raise
20 your hand and *6 to unmute. After the Public Advisor calls
21 on you to speak, spell your name, and state your
22 affiliation if any.

23 Welcome to the California Energy Commission's
24 Business Meeting. The meeting will now begin.

25 (End of Introductory Video.)

1 CHAIR HOCHSCHILD: Well good morning, friends and
2 welcome. I'm David Hochschild, Chair of the California
3 Energy Commission. Today is Wednesday, February 16th, and
4 I call the meeting to order. Joining me today are Vice
5 Chair Gunda, Commissioner McAllister and Commissioner
6 Monahan. Commissioner Douglas is on a delegation to the
7 Salton Sea and will not be joining this meeting today.
8 However, we do have a quorum and will proceed.

9 Vice Chair Gunda is now going to lead us in the
10 Pledge of Allegiance.

11 (Whereupon the Pledge of Allegiance was recited.)

12 CHAIR HOCHSCHILD: Thank you, Vice Chair.

13 I am happy to announce that at today's
14 Commissioner meeting we'll be seeking to approve \$14
15 million in grants and loan today, supporting our state's
16 economic recovery. And we are highlighting this every
17 meeting just because the role that we are playing in the
18 innovation economy is really critical and it's important to
19 take stock at every meeting of the total investments, so
20 thanking the staff for putting that together.

21 So with that, let's turn to the Consent
22 Calendar. We are going to split the items. We'll take
23 Items 1a, b, and c and e first, and then separately address
24 Item 1d.

25 So Madam Public Advisor, do we have public

1 comment on those first items?

2 MS. GALLARDO: This is Noemi Gallardo, the Public
3 Advisor. Attendees, if anyone of you would like to make a
4 public comment, please raise your hand using the icon on
5 the screen, it looks like a high-five. And if you are on
6 by phone please press *9 to raise your hand and then*6 to
7 unmute.

8 I do see a hand raised. It looks like Daniel
9 Orozco. Daniel, a reminder to please spell your name,
10 state your affiliation if any. Your line is open, and you
11 may begin.

12 MR. OROZCO: Hi, my name is Daniel Orozco, D-A-N-
13 I-E-L O-R-O-Z-C-O. I am working for Momentum, based here
14 in Sacramento and on behalf of SSA Pacific and Joe
15 Carrillo, who unfortunately could not join us today.

16 We're just extending our thanks to the Commission
17 for this opportunity for the blueprint and we're excited to
18 see where this goes. And so once again we're just
19 expressing our gratitude and we're really excited to see
20 what the results are going to be. So thank you.

21 MS. GALLARDO: Thank you.

22 CHAIR HOCHSCHILD: Thank you.

23 MS. GALLARDO: All right, reminder if anybody
24 else would like to make a public comment, please raise your
25 hand using the icon that looks like a high-five on the

1 screen or press *9 if you are on by phone.

2 MS. GALLARDO: Chair, I do not see any other
3 hands raised.

4 CHAIR HOCHSCHILD: Okay, unless there is
5 Commissioner discussion, I would entertain a motion from
6 Vice Chair Gunda for Items 1a, b, c, and e.

7 VICE CHAIR GUNDA: Thank you, Chair. I move
8 Items 1a, b, c, and e.

9 CHAIR HOCHSCHILD: And Commissioner McAllister,
10 would you be willing to second that?

11 COMMISSIONER MCALLISTER: I'll second.

12 CHAIR HOCHSCHILD: All in favor say aye.
13 Vice Chair Gunda?

14 VICE CHAIR GUNDA: Aye.

15 CHAIR HOCHSCHILD: Commissioner McAllister?

16 COMMISSIONER MCALLISTER: Aye.

17 CHAIR HOCHSCHILD: Commissioner Monahan?

18 COMMISSIONER MONAHAN: Aye.

19 CHAIR HOCHSCHILD: And I vote aye as well. Those
20 items pass unanimously. And we'll turn now to Item 1d.
21 Commissioner Monahan will speak first.

22 COMMISSIONER MONAHAN: Thank you, Chair. Agenda
23 Item 1d proposes an agreement with the International
24 Council on Clean Transportation for a one-year membership
25 in the Internationals ZEV Alliance. And I currently serve

11

1 as an unpaid advisor to the Board of the ICCT. Therefore,
2 I will recuse myself in the vote on this item to avoid any
3 actual or perceived conflict of interests.

4 I will mute and I'm going to leave my seat, but
5 I'll leave my video on and I'll wait for the Public Advisor
6 to tell me when to return.

7 CHAIR HOCHSCHILD: Thank you, Commissioner.

8 Madam Public Advisor, any public comments on
9 this?

10 MS. GALLARDO: This is Noemi, the Public Advisor.
11 Attendees if you would like to make a public comment please
12 use the raise-hand feature on the screen and if you are on
13 by phone press *9.

14 MS. GALLARDO: Chair, I do not see any hands
15 raised.

16 CHAIR HOCHSCHILD: Thank you. Unless there's
17 Commissioner discussion, I'd entertain a motion from
18 Commission McAllister on Item 1d.

19 COMMISSIONER MCALLISTER: I motion Item 1d.

20 CHAIR HOCHSCHILD: Vice Chair Gunda would you be
21 willing to second Item 1d?

22 VICE CHAIR GUNDA: Second Item 1d.

23 CHAIR HOCHSCHILD: And I vote aye as well. That
24 passes 3-0. Thank you.

25 Let's move on now to Item 2 Solar Energy

1 Generating System, SEGS III, Petition to Amend.

2 MS. HUBER: Good morning, Chair, Vice Chair, and
3 Commissioners. My name is Elizabeth Huber and I manage the
4 Compliance Monitoring & Enforcement Office within the
5 Siting, Transmission, and Environmental Protection Division
6 overseeing staff's analysis of a site boundary change
7 modification for the Solar Energy Generating Systems, SEGS,
8 III through VII, solar thermal facility.

9 With me today are Lead Compliance Project Manager
10 John Heiser, my colleagues from STEP's Engineering and
11 Siting and Environmental Offices, Geoff Lesh and Eric
12 Knight, and Legal Counsel Jared Babula.

13 Also available this morning representing the
14 project owner, LUZ Solar Partners III through VII, is Patty
15 Murphy, Dexter Liu, Jennifer Merrick, and their legal
16 counsel, Scott Galati. Next slide, please.

17 On January 11th of 2022 the project owner filed a
18 petition for post-certification project change requesting
19 to remove SEGS Units III, IV, and V from the entire
20 certified SEGS III through VII project sites. The petition
21 requests a boundary modification to exclude the area and
22 end the California Energy Commission's jurisdiction over
23 that portion of the site. If approved the proposed
24 repurpose of the decommissioned solar and natural gas power
25 plant is to move to a photovoltaic panels and large-scale

13

1 batter storage, can begin construction and supporting our
2 clean energy goals of California. Next slide, please.

3 Located within the Mojave Desert, near the town
4 of Kramer Junction in unincorporated San Bernardino County,
5 SEGS III through VII began operating in the beginning of
6 1989 providing 150 megawatts of electricity through a power
7 purchase agreement with Southern California Edison. For
8 more than 30 years the SEGS III through VII units were part
9 of a 9-solar farm representing one of the largest and
10 longest-operating commercial solar facilities until it
11 ceased operations in the fall of 2019.

12 In April of last year the project owner submitted
13 a Final Decommissioning Plan detailing their demolition and
14 closure activities. The SEGS III through VII
15 decommissioning and closure plan was approved at the June
16 9th, 2021, Business Meeting. Next slide, please.

17 All decommissioning activities within the areas
18 previously occupied by SEGS units III, IV, and V have been
19 completed in accordance with the approved decommissioning
20 and closure plan which outlined facility components that
21 are to be removed, components that may remain for reuse,
22 and the method of disposal for material to be hauled away.

23 On December 22nd, 2021, the CEC's delegated chief
24 building official certified that these three units have been
25 fully decommissioned. Removing these sites from the project

1 site boundary will allow the project owner to repurpose the
2 property and to begin the process of construction under the
3 jurisdiction of San Bernardino County. Next slide, please.

4 Staff recommends your approval of the SEGS III
5 through VII boundary modification. Thank you and we're
6 happy to answer any questions you may have.

7 CHAIR HOCHSCHILD: Thank you, Elizabeth.

8 Any public comment on Item 2?

9 MS. GALLARDO: This is Noemi Gallardo, the Public
10 Advisor. Attendees if you would like to make a public
11 comment, please use the raised-hand icon on the screen. If
12 you're on by phone please press *9 to raise your hand, *6
13 to unmute. I do see a hand raised. A reminder to please
14 restate your name, spell your name, and indicate your
15 affiliation if any. Scott Galati, your line is open, and
16 you may begin.

17 MR. GALATI: Good morning, Mr. Chair,
18 Commissioners. Thank you very much for having us and
19 putting this on the agenda for this particular business
20 meeting. I represent Luz Solar Partners III through VII
21 who, and the operating agent for that particular entity is
22 NextEra, whom you're quite familiar with.

23 We'd really like your approval today so that we
24 can go ahead and get started on our PV project that we've
25 spoken to you before about in an earlier proceeding. We're

15

1 not terminate -- or asking for a full termination of the
2 license at this point, because we are continuing to
3 decommission the SEGS VI and VII while we want to construct
4 the PV project on III through V.

5 So what I'd also like to do is to make sure that
6 you understand that we really work well with your staff.
7 And your staff was extremely helpful here in helping us do
8 something that was kind of out of the ordinary, which is to
9 separate the license by petition for amendment before we
10 ask for termination to keep us on schedule so that we can
11 continue to deliver clean energy to California to meet its
12 goals in its future. Specifically, Elizabeth Huber has
13 been very helpful, so has Eric Knight and our project
14 manager John Heiser. They helped us by doing a pre-review
15 of our application for our permit, gave us some advice on
16 what things needed to be addressed and changed, so that
17 enabled their review to be easier. And then they worked
18 very, very hard in the month of January, right after the
19 holidays. We really appreciate their help.

20 We have several people here that are available to
21 answer any questions that you might have. Specifically
22 Noemi we'd like to make sure that Dexter Lou who is on can
23 speak, and Patty Murphy, if you have any questions.

24 Other than that we ask for your approval of this.
25 And we'd like to also let you know that we'll hopefully be

1 back in the month of May or June seeking full license
2 termination when we complete the decommissioning of the
3 remaining units. Thank you very much.

4 MS. GALLARDO: Thank you. If there is anyone
5 else who would like to make a public comment, please raise
6 your hand using the raised-hand icon on the screen, looks
7 like a high-five. If you're on by phone press *9 to raise
8 your hand then *6 to unmute.

9 Chair, I do not see any other hands raised.

10 CHAIR HOCHSCHILD: Well before we turn to
11 Commissioner discussion and vote, thank you Scott for those
12 comments. I did just want to again remark how important I
13 think this SEGS project is over the years in our story of
14 working towards a clean energy future. This was the
15 largest solar thermal project in the world. And I believe
16 it was constructed in the 80s and served a really important
17 purpose of showing how renewable energy could actually be
18 operated at scale.

19 The evolution we're seeing now from solar thermal
20 to PV is happening around the world and is a function of
21 the success of photovoltaics in reducing costs and energy
22 storage. But I think in the history books of California's
23 clean energy story that SEGS will feature very prominently.
24 And, again, I give a lot of credit to the early developers
25 who brought that project to life in the beginning, because

17

1 that was the time when nobody was doing things at that
2 scale, so just an important piece of our energy history
3 there.

4 So congrats to the staff and the whole team that
5 worked on this. I'm happy to support this and we welcome a
6 motion on this. Let's go to invite maybe Commissioner
7 Monahan would you be willing to move the item?

8 COMMISSIONER MONAHAN: I move this item.

9 CHAIR HOCHSCHILD: Okay Commissioner McAllister
10 would you be willing to second?

11 COMMISSIONER MCALLISTER: Second.

12 CHAIR HOCHSCHILD: All in favor say, "Aye."
13 Commissioner Monahan?

14 COMMISSIONER MONAHAN: Aye.

15 CHAIR HOCHSCHILD: Commissioner McAllister?

16 COMMISSIONER MCALLISTER: Aye.

17 CHAIR HOCHSCHILD: Vice Chair Gunda?

18 VICE CHAIR GUNDA: Aye.

19 CHAIR HOCHSCHILD: And I vote aye as well. That
20 item passes unanimously.

21 Let's turn now to Item 3, 2021 Integrated Energy
22 Policy Report.

23 MS. RAITT: All right, thank you. Good
24 morning, Commissioners. Staff is requesting your
25 approval of the three volumes and the appendix of the

1 2021 Integrated Energy Policy Report, or the 2021 IEPR for
2 short. I'm Heather Raitt, the Assistant Executive Director
3 for Policy Development and the IEPR program manager.

4 And before we begin, I'd just like to make a
5 quick note of correction. The agenda item description
6 posted in the notice, the title of this item accurately
7 references the 2021 IEPR, but the description inadvertently
8 included the word "update." So the agenda description in
9 its entirety along with the backup materials make clear
10 that the action being considered is possible adoption of
11 the 2021 IEPR, Volumes I, II, IV and Appendix. So I wanted
12 to make that minor clarification on the record, so that
13 when you consider whether to move the item you'd be doing
14 so with the word "update" removed.

15 And so with that I'm joined by lead authors for
16 the portions of the IEPR that are under consideration
17 today: Heather Bird, David Erne, Nick Fugate, and Charles
18 Smith. The Next slide, please.

19 I'll just go over a little of the background of
20 the report before we get into the content. The statute
21 requires that the CEC assess major energy trends and issues
22 facing the state's electricity, natural gas, and
23 transportation fuel sectors. And the report develops
24 policies and recommendations to advance a clean energy and
25 reliable energy system with benefits to reach all

1 Californians. Next slide, please.

2 Commissioner Andrew McAllister led the overall
3 development of the 2021 IEPR. It's comprised of four
4 volumes and an appendix, with a Lead Commissioner for each
5 topic.

6 Volume I is on building decarbonization, the
7 focus of this year's report.

8 Volume II is on ensuring reliability in a
9 changing climate.

10 Volume III is on decarbonizing the state's gas
11 systems. It's not under consideration today. Staff
12 anticipates bringing that one to the Commission next month.

13 Volume IV is on the California Energy Demand
14 Forecast.

15 And the Appendix is on assessing the benefits and
16 contributions of the Clean Transportation Program. Next
17 slide, please.

18 The 2021 IEPR reflects input and analysis on a
19 broad array of stakeholders. The Energy Commission sought
20 input from industry experts, the public, sister agencies
21 throughout the report development process. We held 21
22 remote access workshops. 10 of which included participation
23 on the dais from sister agencies. And under Commissioner
24 McAllister's leadership, we also prioritized engaging our
25 federal partners on building decarbonization. The public

1 had opportunities to comment on each workshop and on the
2 draft report that was made available in December and on the
3 final report posted earlier this month.

4 The Final 2021 IEPR reflects changes made in
5 response to public comments, market updates, and forecast
6 results that were not available in December. Also,
7 an errata reflecting a few further minor updates and edits
8 in response to comments in the final report was posted
9 yesterday. Commissioners a copy of the errata is included
10 in your meeting materials.

11 We greatly appreciate the thoughtful comments
12 received, and the time and expertise shared by the public
13 and the workshop participants throughout the report
14 development process.

15 And with that background, we'll now provide a
16 very high-level summary of the key findings for each
17 volume, with the lead authors presenting, and starting with
18 Heather Bird to discuss building decarbonization. Go ahead
19 Heather. Next slide, please.

20 MS. BIRD: Okay, can you see my video now?

21 MS. GALLARDO: Yes, we can.

22 MS. BIRD: Okay, great. Thank you, Heather.

23 Good morning, Chair, Vice Chair and Commissioners. I am
24 Heather Bird of the Efficiency Division. Next slide.

25 The legislature and governor have established

1 ambitious targets to decarbonize the state's economy in the
2 coming decades, with much progress made in recent years on
3 the transition to a low-carbon energy supply.

4 Volume I: Building Decarbonization addresses the
5 statewide efforts needed to meet California's key climate
6 goals of reducing greenhouse gas emissions by 40 percent
7 below 1990 levels by 2030 and moving to a carbon-neutral
8 state by 2045. In order to realize the long-term carbon
9 neutrality goals envisioned by state policy it will be
10 important to address the significant emissions associated
11 with California's existing commercial and residential
12 buildings and industry and agricultural processes.

13 The California Building Decarbonization
14 Assessment was completed in 2021. And this IEPR picks up
15 where that effort left off by laying out specific
16 recommendations and action items for achieving building
17 greenhouse gas reductions. Next slide.

18 Building and process decarbonization is needed to
19 achieve state goals. The state's existing buildings are
20 responsible for generating 24 percent of greenhouse gas
21 emissions. Emissions from combustion appliances contribute
22 to a large percentage of these emissions and contribute to
23 poor indoor air quality.

24 In addition, as the effects of climate change
25 become more common and pronounced with extreme heat and

1 wildfires, older buildings with minimal or shedding
2 insulation, air gaps, or non-existent or low-performing
3 space heating and cooling are not equipped to fully
4 withstand these changing conditions and protect occupants.
5 This is of particular concern in low-income and
6 disadvantaged communities where residents can face a
7 disproportionately high energy burden with limited budgets
8 for utility bills.

9 In contrast to the progress being made in newly
10 constructed buildings where regulatory tools
11 are most effective in driving efficiency and
12 decarbonization measures, reducing the greenhouse gas
13 emissions of existing buildings is more challenging and
14 greatly lags the pace required to meet California's climate
15 goals. While retrofits to existing buildings offer the
16 greatest potential for emission reductions, they also face
17 more challenges such as costs, space and structural
18 constraints, deferred maintenance, split incentives between
19 tenant and owner, and onsite infrastructure improvements
20 needed to support installation of low-carbon technologies.
21 Thoughtful program design and implementation can mitigate
22 some of these challenges.

23 Industry and agriculture processes are further
24 responsible for generating roughly 24 percent and 2 percent
25 of statewide emissions, respectively. Although

1 decarbonizing the industry and agriculture sectors largely
2 involves changes in existing processes or technologies the
3 strategies for decarbonization are the same as those for
4 decarbonizing buildings, including efficient
5 electrification, decarbonizing the grid, energy efficiency,
6 reducing refrigerant leakage, distributed energy such as
7 photovoltaics and on-site battery systems, decarbonizing
8 the gas system, and load flexibility.

9 While some strategies can be implemented in a
10 widespread manner such as decarbonizing the grid or
11 incentivizing load flexibility and distributed energy
12 resources, decarbonizing industry process is slowed by the
13 diversity and uniqueness of the processes, the lack of data
14 on emerging industry technologies, and technical and
15 economic challenges faced by businesses. An effective
16 decarbonization approach is for industry and agriculture
17 sectors will require a combination of replicable and
18 tailored solutions that consider the unique challenges and
19 opportunities in each subsector.

20 The Building Decarbonization Volume proposes a
21 list of recommendations intended to support building,
22 industry and agriculture decarbonization efforts. Here are
23 some of the top-line recommendations:

24 California has an estimated 13.7 million existing
25 homes and 7.4 billion square feet of existing commercial

1 space. Acknowledging the scale of existing buildings and
2 significant investment required to decarbonize these
3 buildings is the first step to reducing building
4 greenhouse gas emissions in line with economy-wide goals.

5 Because space and water heating equipment drives
6 the bulk of on-site greenhouse gas emissions in buildings,
7 heat pumps will drive progress to achieving building
8 decarbonization. The CEC recommends a goal of installing at
9 least 6 million heat pumps by 2030. Further, the CEC
10 commits to working with stakeholders including
11 manufacturers, labor, community organizations, and
12 environmental advocates to accelerate the market to meet
13 this goal and to push beyond it toward a comprehensive
14 migration to heat pumps.

15 Affordability and equity must remain at the core
16 of the state's building decarbonization strategy. The push
17 to reduce greenhouse gas emissions in buildings must
18 consider the energy burden faced by low-income residents,
19 non-energy benefits from decarbonizing appliances, and must
20 prioritize disadvantaged communities in program offerings.
21 Next slide.

22 Continued coordination is needed to align state
23 efforts supporting both building decarbonization and
24 affordable housing needs.

25 Relevant agencies should work through community-

1 based organizations to identify needs and mechanisms to
2 advance decarbonization at the local level and actively
3 engage with workforce development entities on
4 decarbonization priorities, seeking input to identify best
5 practices, developing programs that meet the needs of
6 workforce development entities, and simplifying program
7 access.

8 Private market participation and private
9 funding will be needed to meet California's climate goals.

10 Coordination with federal climate change efforts
11 and funding and exchanging lessons learned with other
12 states and countries will support our success. Next slide.

13 Load flexibility, including both load management
14 and flexible demand appliances helps to optimize
15 electricity use and is a significant strategy
16 in decarbonizing, increasing grid resiliency, and
17 mitigating utility bill impacts.

18 State agencies should support a range of
19 commercial and emerging decarbonization technologies and
20 strategies for the industry and agriculture sectors,
21 including fuel substitution, demonstrations and deployments
22 of advanced technologies, and documenting the potential
23 benefits to California.

24 Reducing the embodied carbon, which is the
25 greenhouse gas emissions directly tied to building

1 materials and appliances within buildings, is an
2 emerging topic that needs to be advanced across relevant
3 state agencies.

4 And now David Erne will discuss reliability. Go
5 ahead David.

6 MR. ERNE: Good morning, Chair, Vice Chair and
7 Commissioners, I'm David Erne with the Assessments
8 Division. I'm going to be covering the Reliability Volume.
9 So the driver for this volume really came from the rolling
10 outages that we had in 2020. And then the follow-on
11 activity of the CEC, CPUC and CAISO to develop a root cause
12 analysis of what happened during those outages and the need
13 to investigate more about reliability moving forward.

14 Also there was a prospect at the time of drought
15 being potential within 2021 and we saw that happen, so that
16 was also a key driver for this topic.

17 The volume -- can we go to the next slide -- the
18 volume focused on electric system reliability and also
19 focused on it for the next five years, or which we expect
20 to have is a substantial amount of renewables coming
21 online, as well as thermal plant, thermal plant
22 retirements, making reliability a concern for us over the
23 next five years.

24 The volume also focused on the effects of climate
25 change, which were substantial and part of the driver for

1 what happened in 2020 and as we experienced last year in
2 2020, or this last year in 2021, the prevalence of extreme
3 heat events, drought, wildfire, all affecting the
4 generation and transmission system. So the volume goes
5 into detail about those effects, the effects of each of
6 those on the system, and how that relates to reliability
7 and the need for greater planning around climate change for
8 the electric system moving forward to make sure that we are
9 able to support loads internally. And also taking into
10 account that when we have situations like west-wide heat
11 events those effect competition for resources external to
12 California which California relies upon, which also makes
13 for more concern for reliability.

14 It also highlights the need for greater planning
15 processes throughout the state, and those are identified in
16 the recommendations.

17 As a result of the RCA, the Root Cause Analysis,
18 CEC created two new analytical products to help in that
19 planning process that were described in the volume this
20 year, and also subject of separate reports, and also
21 presented at different business meetings over the course of
22 2021.

23 The first of those is the summer stack analysis.
24 This takes a look at the impending summer, how things look
25 relative to supply and demand, looks at both an average

1 year and a extreme heat year like we had in 2020, to give a
2 perspective on how the grid might operate under average
3 conditions, but also where we might need contingency
4 resources as backup if there are extreme heat events. It
5 is not meant for a procurement process, but it's meant for
6 really additional planning for preparation for the summer.

7 Staff prepared a 2021 summer stack analysis and
8 also recently prepared an update to the 2022 summer stack
9 analysis to explain what 2022 looks like.

10 The second product was the midterm reliability,
11 or the California reliability outlook, which is a midterm
12 analysis that overlooks five years from 2022 through 2026.
13 That analysis looked at a loss of load, conducted loss of
14 load analysis, and identified all the challenges that were
15 anticipated for 2022, that reliability looks like it would
16 be fine for 2023 through 2026.

17 The stack analysis looked at challenges for both
18 2021 and 2022. In response to that the Public Utility
19 Commission has ordered additional procurements and those
20 additional requirements are typically expected to address
21 some of the reliability challenges we anticipate over the
22 next four years.

23 Staff have agreed to or committed to preparing
24 the summer stack analysis and the midterm reliability
25 analysis every year to help prepare for contingency

1 planning and long-term planning. Both of those products
2 were utilized by the state, in as a result of their
3 publishing, for contingency planning with the Governor's
4 Office and also for CPUC's procurement process, their RFP
5 process, for 2023 through 2026. Next slide.

6 Oh I'm sorry, the other topic that we covered in
7 depth was the preliminary work prepared by CEC staff for
8 the determining qualifying capacity for demand response.
9 This is that a request of the Public Utility Commission.
10 And the staff prepared a summary of the analysis that have
11 been conducted through a working group process up to that
12 point and prepared some preliminary recommendations as part
13 of that.

14 And staff will subsequently be talking about the
15 final report which has been brought up in Item Number 5 in
16 our agenda today.

17 So first set of recommendations we organized the
18 recommendations in four categories: situational awareness,
19 then planning, and then I'll subsequently talk about
20 implementation, and R&D.

21 So for situational awareness and planning we
22 talked about the concept of the reliability outlooks, both
23 in terms of the summer stack and more midterm reliability
24 analysis to get a better preparation for what's happening
25 over the next five years. And that supplements the SB 100

1 analysis which looks much further out, so we have near-term
2 one year, midterm five years, and then long-term out for
3 our SB 100 goals.

4 Also, we recognize the value of tracking
5 projects. New projects coming online are very critical to
6 ensuring our reliability. And so the CEC, CPUC, CAISO and
7 the Governor's Office of Business Development, all
8 coordinate to look at new projects that are coming online
9 and ensuring that those are coming along smoothly, where
10 they aren't where we can help them, move them along with
11 our jurisdictional capabilities. To make sure that they are
12 online and ready to provide reliability for the summer.

13 In planning we recognize the value and the need
14 for additional climate change plans in our considering
15 climate change in our planning. So the recommendation for
16 the CEC, CPUC and CAISO to work together to have a common
17 climate change planning approach, so that we can
18 incorporate into all of our future planning for the system.

19 We also recognize the need for greater planning
20 around transmission. This is recognized by the CAISO in
21 their draft 20-year transmission planning, which the report
22 just came out a couple weeks ago. And the value of looking
23 at much longer term for our transmission planning to ensure
24 that we're able to align the development of those
25 transmission systems to support the growth, both within

1 California and within the west, and the value for
2 California.

3 And lastly, with a greater emphasis in the
4 greater deployment of energy storage on the grid we
5 recognize that there are challenges associated with both
6 permitting locally and addressing emergency response, to
7 make recommendations for additional activity to improve the
8 permitting process and the emergency response capability
9 supporting energy storage as that deployment increases.
10 Next slide.

11 Next two topics are implementation, as I
12 mentioned previously, the demand response program is
13 something that is providing great value to the state, but
14 not as great as we think it should. And so restructuring
15 the demand response program is a recommendation that we
16 have, and we continue to work on both the CEC and CPUC in
17 collaboration with CAISO to make that demand response
18 program more valuable.

19 Heather mentioned in her volume about the load
20 flexibility and the value of load flexibility for the state
21 as we move into having greater deployment of automated
22 devices, the support demand response programs creating
23 dynamic rates are also a value, and so we make
24 recommendations around improving both of those categories
25 in collaboration with what was in the previous volume.

1 And lastly on R&D, although these topics were
2 included in the most recent EPIC plan, we want to emphasize
3 the need for improving zero-carbon technology, particularly
4 those that are providing firm resources for the state, so
5 that we can expand those capabilities and provide
6 reliability. Increasing our load flexibility solutions
7 through R&D. And also continuing to improve the technology
8 around energy storage, making it safer and more reliable as
9 it becomes a critical part of reliability for the state.

10 So that concludes our overview of the reliability
11 volume. Now I'll turn it over to Nick Fugate.

12 MR. FUGATE: Thanks David. My name is Nick
13 Fugate and I'm part of the Energy Assessments Division's
14 team, responsible for developing the California Energy
15 Demand Forecast. The forecast was formally adopted by the
16 Commission last month and is, for the 2021 IEPR, the
17 subject of Volume IV. Next slide, please.

18 The forecast is a critical planning tool which
19 helps keep California's energy system clean, affordable and
20 reliable. And it does this by ensuring that the state's
21 system planning efforts, including transmission and
22 distribution planning, integrated resource planning, and
23 resource adequacy, all begin with reasonable assumptions.

24 For the sake of transparency Volume IV discusses
25 many of these inputs and assumptions in detail, and

1 importantly identifies the state's major energy planning
2 efforts conducted regularly by the California Public
3 Utilities Commission and the Independent System Operator
4 along with the specific components of the forecast that are
5 used in each study. Next slide, please.

6 The energy demand forecast is actually a set of
7 forecasts covering annual electricity and gas demand. And
8 then further the electricity forecast includes hourly
9 profiles as well as peak load forecasts under a variety of
10 weather conditions. And across all these categories there
11 are baseline scenarios which contain only the most firm
12 assumptions around future program and standards impacts.
13 And then there are also additional achievable scenarios
14 which explore a range of plausible programmatic efforts
15 over the forecast period.

16 Volume IV summarizes all these different
17 forecasts at a high level, but then also takes a deeper
18 dive on specific load modifiers that are highly impactful
19 to system planning. Photovoltaic system adoption, energy
20 efficiency, transportation and building electrification,
21 climate change impacts, these are all discussed in detail
22 within the volume.

23 Additionally, the volume calls out a notable --
24 which I call that notable changes to the forecast from
25 previous cycles. This year we've extended the forecast

1 horizon beyond our normal ten-year planning horizon out to
2 2035, aiming to inform some of the state's long-term,
3 policy-driven system studies. The CEC's SB 100 long-term
4 demand scenarios project is a prominent example. This
5 analysis explores the implications of economy-wide
6 decarbonization for California's energy systems. While
7 results from this effort are scheduled to be presented in
8 early 2022 the project scope, approach and work to date are
9 all discussed as a chapter in Volume IV.

10 The volume also describes our newly refreshed
11 additional achievable efficiency estimates, which account
12 for new program potential studies conducted by CPUC and
13 CMUA. It also includes additional achievable fuel
14 substitution scenarios, and this is a new product in 2021.
15 These are estimates of electrical load growth and reduced
16 gas consumption that may result from programs and standards
17 designed to replace gas end-use. This is with electric
18 ones.

19 And, of course, during the IEPR cycle the
20 Commission adopted a new set of Title 24 commercial
21 building standards which include requirements for PV and
22 battery storage systems. This demand forecast includes a
23 detailed accounting of those standards impacts. Next
24 slide, please.

25 While detailed forecast results are available on

1 the CEC's docket and website, Volume IV attempts to
2 summarize those results at a high level. Baseline
3 electricity consumption describes the total amount of
4 energy that's being used by consumers, regardless of how
5 that energy is being supplied. This metric is closely tied
6 to consumer behavior and it's what many of our demand
7 models are trained on.

8 In the mid-baseline case consumption growth at a
9 rate of 1.8 percent annually, reaching 340,000 gigawatt
10 hours by 2035. A considerable portion of this growth is
11 due to transportation electrification, which is projected
12 to reach 35,000 gigawatt hours by 2035, or just over 10
13 percent of total consumption.

14 Sales, on the other hand, represents just the
15 amount of energy being supplied by the utility and is
16 therefore greatly impacted by the adoption of self-
17 generation technologies such as rooftop solar. Our mid-
18 range managed sales forecast grows at a much slower rate of
19 0.7 percent, as PV adoption and additional achievable
20 efficiency combine to reduce load by 87,000 gigawatt hours
21 in 2035, or just over 25 percent.

22 Peak load is a critical planning consideration,
23 representing the highest level of load utilities and system
24 operators must be ready to meet.

25 For the CAISO control area, the largest

1 balancing authority in California, our managed peak
2 forecast grows at a rate of 0.9 percent annually, reaching
3 52,400 megawatts by 2035.

4 That concludes my summary of Volume IV. I will
5 turn things over now to my colleague Charles Smith.

6 MR. SMITH: Thank you Nick. Good morning, Chair,
7 Vice Chair and Commissioners. I'm Charles Smith, in the
8 Fuels and Transportation Division. I'll be speaking on the
9 Clean Transportation Program's benefits assessment within
10 the 2021 IEPR Appendix. Next slide, please.

11 The Clean Transportation Program was created in
12 2007 to provide funding for projects that support the
13 state's climate change policies within the transportation
14 sector. These projects also provide co-benefits such as
15 improving health from eliminating tailpipe emissions,
16 reducing petroleum reliance, increasing zero-emission
17 vehicle, or ZEV mobility, and supporting grid reliability.

18 Every two years statute requires that we assess
19 the benefits of our program as part of the IEPR, with the
20 goal of improving transparency and oversight of the
21 program. Next slide, please.

22 This slide captures some of the highlights of our
23 program funding so far. We've invested about \$1 billion in
24 projects, of which just over half has gone toward projects
25 located in low-income or disadvantaged communities. We

1 have leveraged over \$700 million in match funding, and we
2 have funded the commissioning of over 15,000 EV chargers
3 and 83 hydrogen refueling stations; both of those numbers
4 will be increasing as our funding agreements continue to
5 implementation. Next slide.

6 In quantifying the benefits from our program
7 we've benefitted from the support of the National Renewable
8 Energy Laboratory, or NREL. The analysis focuses on three
9 key benefits: GHG emission reductions, air quality
10 benefits, and petroleum displacement.

11 And it works through two analytical methods.
12 First, we have the "Expected Benefits," which calculates
13 the impact of our funded projects in direct proportion to
14 their estimated usage. Second, we have the "Market
15 Transformation Benefits." These represent more indirect
16 benefits that are tougher to quantify but are no less real.

17 For example, by increasing the size of the EV
18 recharging network, we not only expand charging
19 opportunities for current EV drivers, but we have an impact
20 on consumers' decisions about whether to choose an EV for
21 their next vehicle.

22 Similarly, if we have a successful demonstration
23 of a new fuel or technology project, we can expect that
24 product to have broader or accelerated market deployment.

25 Now because there is more uncertainty with these

1 types of benefits, NREL assigned a "Low Case" and "High
2 Case" to market transformation benefits. Next slide,
3 please.

4 All right, this is my final slide, illustrates
5 the estimated annual GHG reductions from both the Expected
6 Benefits and the Market Transformation Benefits. The blue
7 wedge at the bottom represents the Expected Benefits in
8 terms of annual GHG reductions, while the two wedges above
9 represent the Low Case and High Case for Market
10 Transformation Benefits.

11 This concludes my presentation on the Clean
12 Transportation Program, and I'll turn it back over to
13 Heather Raitt.

14 MS. RAITT: Great, Next slide, please. Thank
15 you, Charles.

16 So before concluding I'd just like to take a
17 moment to thank you Commissioner McAllister for your
18 guidance and leadership and also to thank Bryan Early, Bill
19 Pennington, and Froo Fritz (phonetic) for your senior staff
20 for their support. And I'd also like to thank Chair
21 Hochschild, Vice Chair Gunda, Commissioner Monahan and
22 Commissioner Douglas for your guidance.

23 And then, of course, developing the IEPR is a
24 huge team effort, and so in addition to those of us
25 presenting today there are dozens of others across the

1 Efficiency Division, the Energy Assessments Division and
2 Research and Development Division who all made really
3 important contributions to this effort as well as the
4 Dockets team, the Public Advisor's Office, Legal Office,
5 IT, Media and the Web team have helped make everything
6 happen.

7 And then finally I'd just really like to thank
8 the IEPR team, including Harrison Reynolds, Yolana
9 (phonetic), who came back to help us with some of our
10 workshops, and especially to Stephanie Bailey, Raquel
11 Kravitz and Denise Costa, who work every day on the IEPR
12 and make it all work, so thank you.

13 That concludes our presentation. And in addition
14 to the staff presenting today, Lisa de Carlo from the Chief
15 Counsel's Office is available to address any questions you
16 may have.

17 And again, staff requests that you adopt the
18 volumes I, II, IV, and the Appendix of the 2021 IEPR,
19 incorporating the changes detailed in the errata. Thanks.

20 CHAIR HOCHSCHILD: Well, thank you so much
21 Heather and thanks to you, David, Nick, Charles and the
22 whole team who worked on this, really tremendous work.

23 So we'll go first to public comment on Item 3.
24 Noemi, do we have public comment on this item?

25 MS. GALLARDO: This is Noemi the Public Advisor.

1 And I am seeing hands already, so let me just give
2 instruction to everybody. If you would like to make a
3 public comment, please use the raised-hand feature on the
4 screen. If you are on by phone press *9 to raise your hand
5 and then *6 to unmute.

6 A reminder to everybody to please restate your
7 name, spell it for the record and indicate your
8 affiliation, if any. We will start out with Delphine Hou.
9 Delphine your line is open, and you may begin.

10 MS. HOU: Fantastic. Can you all hear me?

11 MS. GALLARDO: Yes.

12 MS. HOU: Excellent. Good morning, my name is
13 Delphine Hou, Director of California Regulatory Affairs at
14 the California Independent System Operator.

15 That's spelled D-E-L-P-H-I-N-E, last name is H-O-
16 U. Good morning, Chair and Commissioners, the California
17 Independent System Operator really wants to express our
18 deep appreciation to the CEC staff for all of their hard
19 work and really the excellent technical acumen, the
20 California Energy Demand Forecast and the entire EIPR. The
21 CAISO relies on the demand forecast for a variety of
22 transmission and planning activities and appreciates the
23 collaborative and transparent process.

24 Furthermore, we appreciate the reliability work
25 that the CEC has taken on, and we really look forward to

41

1 working with the CEC more on that. It's a large team that
2 works tirelessly on the demand forecast. And in a year of
3 more challenges, uncertainties, and I think there was still
4 a pandemic in there as well, so I really want to thank this
5 excellent team: Aleecia Gutierrez, Nick Fugate, Heidi
6 Javanbakht, Mike Jaske, Ingrid Neumann, Anitha Rednam,
7 Quentin Gee, Heather Raitt, David Erne, and mm, yes, Mr.
8 Matt Coldwell as well for all his hard work.

9 So we highly support this item. And again much
10 appreciation to the excellent CEC team, always a great
11 collaborative effort. Thank you so much.

12 MS. GALLARDO: Thank you.

13 Next is Jennifer Liu. A reminder to spell your
14 name, indicate your affiliation if any. Jennifer your line
15 is open, and you may begin.

16 MS. LU: Good morning, Commissioners and staff,
17 my name is Jennifer Lu, J-E-N-N-I-F-E-R, last name L-U. And
18 I represent SoCalGas. I appreciate the opportunity to
19 provide public comment on the CEC 2021 IEPR. SoCalGas
20 recognizes the hard work and dedication that the
21 Commissioners and staff put into prepare 620 pages of
22 assessments, tackling energy issues related to
23 affordability, reliability and resiliency in a decarbonized
24 economy.

25 SoCalGas had the opportunity to connect with Vice

1 Chair Gunda and his staff several weeks ago to discuss the
2 IEPR process. We were pleased to hear the CEC is
3 considering moving toward smaller releases, such as fewer
4 volumes for release and longer periods for comments from
5 stakeholders. SoCalGas looks forward to continuing to
6 collaborate with the CEC on this important public process,
7 thank you.

8 MS. GALLARDO: Thank you.

9 Next is Kiki Velez. Kiki if you could please
10 spell your name and indicate your affiliation, if any.
11 Your line is open, and you may begin.

12 MS. VELEZ: Thank you, can you hear me?

13 MS. GALLARDO: Yes, we can.

14 MS. VELEZ: Yeah, it's Kiki Velez, K-I-K-I V-E-L-
15 E-Z. And I'm speaking on behalf of the Natural Resources
16 Defense Council.

17 So thank you so much Chair Hochschild, Vice
18 Chair Gunda and Commissioners for the opportunity to speak
19 today and thank you very much to Commission staff for the
20 great presentation on the IEPR.

21 First and foremost, we want to thank Commission
22 staff for all the hard work they put into the 2021 IEPR,
23 and to thank the Commission for your continued leadership
24 in the effort to decarbonize California buildings.

25 As you know, buildings account for nearly a

1 quarter of California's greenhouse gas emissions. And
2 replacing gas-fueled appliances with efficient and healthy
3 electric alternatives is the single most cost-effective way
4 to decarbonize the building sector. Therefore, NRDC is
5 incredibly supportive and appreciative of the Commission's
6 proposed goal of installing 6 million heat pumps in homes
7 by 2030. California needs to rapidly decarbonize to meet
8 its climate targets and the Commission's goal rises to the
9 challenge of putting California on the path to healthy,
10 safe, affordable and clean buildings on the timeline needed
11 to mitigate the worst impacts of climate change.

12 We also support the Commission's commitment to
13 equity, and we hope that as they progress towards the 2030
14 goal, they will especially prioritize heat-pump deployment
15 in low-income households and in households in disadvantaged
16 communities, so that all Californians will be uplifted by
17 the clean energy transition.

18 So thank you again for the opportunity to speak,
19 and we hope that the Commission adopts the IEPR today in
20 alignment with California's pressing climate objectives,
21 thanks.

22 MS. GALLARDO: Thank you. And next is Luis
23 Amezcua. A reminder to please spell your name and indicate
24 your affiliation, if any. Luis your line is open, you may
25 begin.

1 MR. AMEZCUA: Good morning, Chair and
2 Commissioners, my name is Luis Amezcua, that's spelled L-U-
3 I-S A-M-E-Z-C-U-A. And I'm speaking on behalf of the
4 Building Decarbonization Coalition. We appreciate and
5 support Volume I of the final IEPR, which focuses on
6 building decarb and want to echo the comments made by NRDC
7 in that practice (phonetic) building decarbonization is
8 necessary to meet our chemicals given that buildings
9 account for nearly a quarter of our GHG emissions.

10 And in particular we really support the
11 Commission's goal and installing at least 6 million heat
12 pumps by 2030, which will be a critical part of that
13 transition towards a cleaner, greener, all-electric future.
14 We look forward to continuing to work with the Commission
15 and supporting its leadership on this, thank you.

16 MS. GALLARDO: Thank you.

17 All right, a reminder again if anyone would like
18 to make a public comment to please raise your hand using
19 the raised-hand icon on the screen, it looks like a high-
20 five. If you're on by phone press *9 to raise your hand,
21 *6 to unmute. Chair, I do not see any other hands raised.

22 CHAIR HOCHSCHILD: Well, thank you Noemi. And
23 thanks to all the members of the public giving comments, I
24 want to especially recognize our former intern Kiki Velez,
25 who was with us two summers ago and did terrific work on

45

1 building decarbonization. It's great to see your career
2 flourish and see you at NRDC now, and thanks for all your
3 hard work on this topic.

4 I also wanted to just take another moment here to
5 mark the reappointment of our friend and colleague Andrew
6 McAllister, who the governor has appointed to another five-
7 year term. We are beyond thrilled about this development
8 and his willingness to continue to serve to be just an
9 incredible source of institutional knowledge and depth on
10 this topic, the building decarbonization in particular, and
11 doing everything he can to support the success of our
12 efforts to BUILD a clean energy future. And it's just a
13 really exciting moment. We did the swearing-in a few weeks
14 ago. So with that Commissioner McAllister would you like
15 to kick us off on the discussion?

16 COMMISSIONER MCALLISTER: Well sure. Thank you
17 Chair Hochschild, and I'll start off with a little blushing
18 here, but thank you very much. It's such a moment of
19 opportunity and I think you've heard of all the topics and
20 the key topics of this year's IEPR during staff's great
21 presentation.

22 But we're moving forward with bold action in so
23 many sectors, at the same time taking care to really keep
24 our eye on reliability and the continuous pathway to get to
25 our long-term goals. And so it's just a really gratifying

46

1 and challenging and sort of opportunistic moment to be
2 doing what we do. And I just really couldn't imagine a
3 more impactful place to be helping California move towards
4 these long-term goals that will necessarily bring a lot of
5 other states and marketplaces along with us. And I think
6 that's just really what it's all about these days, we have
7 to have that commitment. And I know all of you do and I
8 just couldn't imagine serving anywhere else other than
9 alongside all of you, so thank you very much for that.

10 And it's really terrific to have sort of the
11 endorsement of the sitting governor and sort of really
12 being in complete alignment with our state's long-term
13 goals and be able to move forward with, in earnest.

14 So I will try to keep this relatively modest as I
15 think Heather gave a lot of thank yous that are absolutely
16 appropriate and I won't repeat all of those, I just want to
17 thank her and the team. I'll just read out her and her
18 team's name, but Heather and Denise Costa, Stephanie
19 Bailey, Raquel Kravitz, it's just a small but mighty team.
20 Harrison, I'm glad we dusted him off and bring him back.
21 Thank you, Harrison. But that team just really gets so
22 much done and coordinates so many different efforts, all in
23 an overlapping way, it's remarkable how they keep so many
24 plates spinning. And the result is invariably fantastic
25 and really high quality, the two-plus years no exception.

47

1 So I just want to thank her for that momentous effort.

2 This is a foundational effort. The state sort of
3 looks to the IEPR, many actors look to the IEPR for
4 directionality; certainly take note of SoCalGas's comments
5 on this sort of volume of it. But it serves many goals.
6 It gives staff some opening to develop their knowledge and
7 to really sort of think hard about some of these issues in
8 a way that I think doesn't maybe happen in the day-to-day
9 crush of short-term effort. And so there is an
10 institutional benefit for really sort of letting staff run
11 on some of these issues in a way that maybe isn't exactly a
12 project that we have ending with an urgent deadline, but it
13 is actually quite important.

14 And this year we tackled some critical issues, in
15 particular, building decarbonization. You heard some
16 speakers on that, thank you for all the public input today
17 and previously. But reliability, the forecast and
18 transportation, these are all just incredibly critical
19 topics. We'll see next month the gas volume, another topic
20 that is headed into I think a couple-decade trajectory of
21 real, significant change and so we have to be complete
22 here.

23 And also the IEPR, it's a place where we and
24 others can point to say, "Hey the IEPR in 2021 said X," so
25 we set goals. You heard about this, the 6 million heat-

1 pump goal. So it's a place to point to sort of organize
2 our thoughts and organize our actions going forward, which
3 I think is very valuable as a kind of a signal to the
4 marketplace that hey, this is where we're going, and we
5 want to work with all the actors. So thanks for that.

6 I want to thank the presenters today, Heather and
7 David, Nick, Charles, thank you for your sort of
8 spearheading being the public face of these volumes, but
9 really dozens and dozens of people behind each of them.

10 In particular, on the building decarb chapter I
11 wanted to just name a few people. The whole team is a
12 couple dozen folks, but I wanted to just call out Heather
13 Bird for sure, Michael Kenney, who really did a lot of the
14 writing and heavy lifting on the document itself and
15 pulling it all together, making sure it flowed. Jacob
16 Wahlgren, Kristina Duloglo and Tiffany Mateo and Danuta
17 Drozdowicz. So want to just thank all of them for being
18 really in the center.

19 As the quarterback I would say Jennifer Nelson in
20 the Existing Buildings Office, really just yeoman's
21 (phonetic) work to pull it together and just help organize
22 the division staff that was working on it in her office and
23 really beyond her office as well as Heather Bird did quite
24 a bit of that. And Christy Chu (phonetic) who early on
25 took the lead on the building decarb chapter and since has

1 gone over to the PUC, so want to thank her for that as
2 well.

3 The division leadership was really key on many of
4 the sort of issues that we worked through Mike Sokol,
5 Christine Collopy. Also in this chapter, but really across
6 the IEPR, Aleecia Gutierrez and David Erne for the
7 Assessments Division, Lauren Hope and Virginia Lew from
8 the Research and Development Division. They really pitched
9 in and rolled their sleeves up.

10 And then the various advisors that were involved
11 in the IEPR, and in particular the building decarb chapter:
12 Brian Erle and Bill Pennington and Fritz Foo in my office,
13 Le-Quyen Nguyen, Ken Rider, Terra Weeks in the Chair's
14 office and Commissioner Gunda's office.

15 And then, finally, to the Public Advisor Noemi
16 Gallardo, who really just helped us, helps keep us paying
17 attention to all of the inclusivity that we just had to
18 ensure that was part of all these workshops. And we did a
19 lot of workshops on building decarb and many other topics
20 through the course of the year. And just making sure to
21 pull in voices from sort of near and far and very broadly
22 and so that we would have diverse representation on every
23 panel as much as we could. And so I just want to thank her
24 for helping us do that.

25 And really in terms of building decarbonization

1 there's really no topic I'd say that for which it's more
2 essential to have that diverse input. We're going to be
3 moving forward in coming years helping projects happen at
4 community level across the state. And in a state as
5 diverse and large and variable as ours it's just critical
6 to be able to have those structures and that trust just up
7 and down the chain of funding and program development
8 implementation. So want to just thank Noemi for that, and
9 for what's to come as we put together some fairly impactful
10 programs with federal money, with potentially the state
11 resources, and really trying to mobilize marketplaces to
12 get this done over the next decade or two.

13 And then Heather mentioned this, but I think
14 we've seen momentous changes at the federal level, and so
15 one of my goals in the IEPR certainly as it relates to
16 building decarb was to create as many linkages as we could
17 with the Biden Administration. I think we were successful
18 in that. I think we have friends there. We have folks
19 that are knowledgeable about what we're doing, and they
20 come to us now to sort of coordinate and to keep each other
21 apprised of what's going on. And I think that's super-
22 important, especially as we have the Infrastructure Jobs
23 Act funding coming down and then potentially whatever form
24 BUILD Back Better takes, whatever pieces of that get across
25 the finish line going forward, we could potentially have

1 additional resources.

2 So finally I want to just thank Vice Chair Gunda
3 for his partnership on this IEPR and I'll certainly
4 reciprocate that next year. But taking the lead on
5 reliability and gas and the forecast it really feels like
6 we're on incredibly solid ground with your leadership and
7 I'm happy to keep contributing to that as much as possible.

8 And with that, I think that I will just give
9 another thanks to the IEPR team and all of my colleagues,
10 actually. I mean, Chair Hochschild, Vice Chair Gunda,
11 Commissioner Monahan and Commissioner Douglas as well, all
12 participated in a variety and diversity of workshops. And
13 I just really appreciate, particularly, Commissioner
14 Monahan in daring to come into the building decarbonization
15 space and ask fresh questions. I thought that was just
16 really helpful and adds a lot, so thank you for that. But
17 really everyone was engaged, and I have just tremendous
18 appreciation for your partnership on this IEPR and going
19 forward. So with that I'll open up the mic. (Overlapping
20 colloquy.)

21 CHAIR HOCHSCHILD: Great. Well, we know
22 Commissioner Monahan is not shy, (laughter.) so maybe,
23 let's see, Commissioner Monahan did you want to make any
24 remarks? And then we'll go to Vice Chair Gunda.

25 (END OFF HERE AT 1:06 DONE ON TAPE)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMISSIONER MONAHAN: Well I just appreciate Commissioner McAllister's leadership and goodwill and brain trust. (Laughs.) As I'm learning a lot from him and from Vice Chair Gunda and, of course, from you Chair in this space. Well, I think I'll just focus on the transportation sector for now.

And I want to highlight that this is a report on the benefits of the program that we are required to do. And the team worked with NREL to really explore more deeply these questions about how do you value to BUILD-out a zero-emission vehicle infrastructure? And how it's a really hard area to do a cost benefit analysis, really hard, because you don't necessarily know when you BUILD a charger what that means in terms of an additional electric vehicle or a fuel cell vehicle on the road, and yet we know that's critical. And so this report kind of wrestled with some of these questions.

Also the question of like where do you attribute the greenhouse gas reduction? Do you attribute it to the low-carbon fuel standard? Do you attribute it to the investment that we made in a biofuel facility? I mean, these are hard questions. So I just wanted to thank the team, Quentin Gee was shepherding this until he made the move over to EAD. But the team, Charles, Susan, Stephanie,

1 they've all worked really hard on trying to be as clear as
2 possible about what we know and what we don't know in terms
3 of costs and benefits. So just thanks to them for being so
4 thoughtful and diligent on this project.

5 And I hope going forward that we continue to
6 explore more deeply how to value harder to measure
7 investments that we're making, like ZEV infrastructure
8 where cost benefit analysis is just a poor, I would say,
9 metric.

10 CHAIR HOCHSCHILD: Great. Thank you. Vice Chair
11 Gunda.

12 VICE CHAIR GUNDA: Yeah. Thank you Chair. It's
13 amazing to see this IEPR to kind of coming to a close on
14 these three volumes. I mean, it's been a tremendous
15 effort. And so I think I just want to start with just
16 thanking Commissioner McAllister for his leadership. And
17 as Commissioner Monahan pointed out it's amazing too. He's
18 a mentor to me for a long time and now being a colleague
19 and working on these issues is just an incredible blessing
20 to me, so thank you, Commissioner McAllister for your
21 leadership and thoughtfulness as usual.

22 And I do want to second Commissioner McAllister
23 your comment on Commissioner Monahan presence on a number
24 of topics, and I think it's really allowed for a very
25 detailed conversation as something that was a new -- in

1 this particular IEPR -- where the perspectives of the
2 inter-sector connections and integration were brought up
3 and how to -- analysis to make sure they're broadly
4 applicable. So Commissioner Monahan thank you for your
5 input on, specifically for me on the forecast side as well
6 as the reliability side, I much appreciate your input.

7 And Commissioner Douglas for her work on
8 reliability and Chair for your unwavering guidance and
9 stewardship on making sure we are going as fast as possible
10 towards our climate goals, keeping in mind reliability.

11 So it's the thanks again, a repetition of a bunch
12 of things already said, but I just want to thank the IEPR
13 team and the entire Energy Assessments Division to the
14 extent that I rely on them a lot for the reliability and
15 the forecasting parts. And also the stakeholders and
16 public for their participation and input to help construct
17 the IEPR. Also want to thank the commenters at the end:
18 Delphine Hou, Jennifer Lew, Kiki Velez and Luis Amezcua.
19 It's just extremely gratifying to hear your recognition of
20 the commitment and professionalism of the staff. And it's
21 important to have that public testimony of the CEC staff
22 and their hard work in moving this important product
23 forward.

24 Commissioners typically have an opportunity to
25 help facilitate and coordinate and set priority and policy

1 goals and analysis, but it really falls on the stakeholders
2 and the shoulders of the incredibly committed and competent
3 staff to help support the development of the vision and
4 making sure the implementation and the vision happens, so
5 thank you all for your efforts.

6 And the presenters were wonderful, Heather and
7 Heather, David, Nick and Charles, thank you for your
8 presentations today.

9 And I would just want to comment a little bit on
10 the reliability and demand forecast. On the reliability
11 just wanted to recognize the coordination between the
12 agencies CAISO, CPUC, CEC and DWR. We had a lot of
13 coordination.

14 Apart from that, apart from developing the IEPR
15 we were also working to ensure 2020 (Indiscernible.)
16 reliability in making sure we are taking care on making
17 sure the lights are lights are on through the summer under
18 extreme conditions. And also kind of leaning on a number
19 of our partners and the developers, the IOUs for helping
20 them coming to the table to help with the support of 2021
21 reliability. So overall, it has been a big year for CEC.
22 And as David Erne pointed out we had a couple of new
23 products that were launched. I think they're critical for
24 the future of California's planning and reliability
25 planning, so I would like to just specifically recognize

1 Angela Tanghetti, Chris McLean, Lana Wong, Mark Kootstra
2 and Hannah Craig for their work on making sure can we had
3 these two products in place to help support the reliability
4 planning.

5 I really appreciate the recommendation bucket
6 (phonetic) of situational awareness planning,
7 implementation of R&D. I think that IEPR really provided a
8 framework on how to think through reliability in a
9 coordinated fashion across all the divisions, as well as
10 all the Commissioners' leadership, so I think I just want
11 to congratulate David to you, Aleecia Gutierrez for your
12 leadership on making this happen.

13 Demand forecast, it's one of those things that
14 was foundational for the beginnings of CEC. It's critical
15 and a foundational element for electricity and gas planning
16 in the state. As Nick mentioned that the team made a
17 number of key updates and sets that are required to make
18 sure the forecast is as reasonably projecting through 2035.
19 But this particular year has set us on a path to bridge
20 forecasts and scenarios and to help policy planning as we
21 go through this incredible transition period. So just want
22 to thank Nick for your leadership on this work, but also
23 want to recognize Kathy Garcia, Lynn Marshall, Ingrid
24 Neumann, Anitha Rednam, Heidi Javanbakht, Mike Jaske, and
25 Delphine mentioned Matt Coldwell as well. We'll give him a

57

1 pass on this even though he moved to CPUC.

2 So the one thing I want to recognize here is that
3 team works under a very tight timeline especially towards
4 the end of the year, because a number of the critical
5 inputs are not available until the end of the summer. So
6 the staff have to pull all that together in the last
7 minute. So just want to recognize the personal toll that
8 it takes for a lot of staff working weekends and nights to
9 make this happen. And it's definitely a cause for concern
10 in terms of in burnout and such. And I just want to figure
11 out a way with the crew to really give the forecasting
12 people a break right after we adopt, so they can just have
13 the time off.

14 And also, I want to recognize specifically
15 comments from Jennifer Lew, and I'm going to talk about
16 this in our Commissioner reports, but note we are going to
17 look at bridging the two different needs which is providing
18 an IEPR or content from CEC that's substantive and allows
19 for the staff to develop important policy ideas. As
20 Commissioner McAllister mentioned this writing is a great
21 exercise in putting thoughts together, but also making IEPR
22 a little bit less lengthy and more integrated in the
23 summary. So we were thinking it through, and I think the
24 2022 IEPR will begin the process of potentially launching
25 supplementary dockets, with staff would still have the

1 opportunity to write these reports and further that, but
2 the IEPR itself could become a summary document. So we are
3 hoping to do that.

4 And thank you for your comments and
5 participation. And again, incredible gratitude for all our
6 staff for your work. And yeah, with that Chair look forward
7 to supporting this adoption.

8 CHAIR HOCHSCHILD: Oh well said Vice Chair Gunda.
9 Thank you for those comments. And as you well know I
10 support trying to say more with less and having a shorter
11 IEPR.

12 The piece I wanted to just call out in this IEPR
13 was the heat-pump goal, the 6 million heat-pump goal. I am
14 a big believer in goals. I'm really encouraged that we're
15 doing this and want to thank Commissioner McAllister and
16 the team for doing the diligence on that.

17 Not so long ago in January of 2018 Governor Brown
18 set a one and a half million zero-emission vehicle goal for
19 the state by 2025. And at the time there were a lot of
20 people who said that was outlandish and it was never going
21 to happen. We've now blown by a million electric vehicles
22 and we're well on our way to surpassing that goal. And now
23 in fact the state goal has been raised 2 to 5 million by
24 2030 and now everyone's tracking beyond, far beyond that.
25 And an interesting little note we had, I think, seven

1 electric vehicle ads during the Super Bowl, far more than
2 for conventional vehicles.

3 But I would argue that the setting of the goal
4 initially is instrumental to that. It does focus the
5 market, it focuses the agencies, all the stakeholders
6 around the objective and it can drive investment and drive
7 innovation. And we need to do this for building
8 decarbonization. It's a huge issue for health, it's a huge
9 issue for climate. I have every confidence that we're not
10 only going to reach this goal, I think we're going to
11 surpass it ultimately just looking at the trends and the
12 technology and what's underway and the momentum with the
13 building and so forth. But I do think this is a
14 significant moment for that reason.

15 So with that being said, my thanks again to the
16 whole team for your professionalism, your diligence in
17 putting together this document.

18 And with that I invite a motion on Item 3 from
19 Commissioner McAllister.

20 COMMISSIONER MCALLISTER: I move to adopt Item 3,
21 with the errata as stated by Heather (Indiscernible).

22 CHAIR HOCHSCHILD: Okay, Vice Chair Gunda would
23 you be willing to second?

24 VICE CHAIR GUNDA: Second.

25 CHAIR HOCHSCHILD: All in favor say, "Aye."

1 Commissioner McAllister?

2 COMMISSIONER MCALLISTER: Aye.

3 CHAIR HOCHSCHILD: Vice Chair Gunda?

4 VICE CHAIR GUNDA: Aye.

5 CHAIR HOCHSCHILD: Commissioner Monahan.

6 COMMISSIONER MONAHAN: Aye.

7 CHAIR HOCHSCHILD: And I vote aye as well. Item
8 3 passes unanimously.

9 Let's turn now to Item 4, Building Initiative for
10 Low-Emissions Development, the BUILD program.

11 MS. CARRILLO: Good morning, commissioners. My
12 name is Dina Carrillo, a manager in the Renewable Energy
13 Division. Joining me this morning are two of BUILD's
14 technical staff. Larry Froess, and Erica Chac, and the
15 legal team from the Chief Counsel's Office. Today, staff
16 is recommending adoption of the program guidelines for the
17 Building Initiative for Low-Emission Development or BUILD
18 Program. Oops. Apologies for that.

19 Good morning again. Put a face behind the voice.
20 Next slide, please.

21 BUILD, the Decarbonization Market Transformation
22 Initiative designed to spur the adoption of near-zero-
23 emission technologies and reduce greenhouse gases by
24 supporting the development of new all electric housing,
25 bringing clean energy homes to underserved Californians and

61

1 communities. BUILD offers both technical assistance to
2 support the industry in designing and introducing new
3 equipment in low-income residential construction and
4 financial awards, and incentives to offset the cost of
5 adopting these new technologies. In addition to reducing
6 greenhouse gas emissions, the program supports green jobs
7 and provides non-energy benefits, including improved indoor
8 air quality and stronger resiliency. Next slide, please.

9 Senate Bill 1477 authorized two building
10 decarbonization programs: BUILD for new residential
11 construction [indiscernible] for existing buildings to
12 deploy near-zero-emission building technologies to reduce
13 greenhouse gas emissions from building. The legislation
14 requires the PUC, in consultation with the CEC, to develop
15 and supervise the administration of the BUILD Program.

16 The PUC instituted a new rule making on building
17 decarbonization and adopted Decision 20-03-027 to establish
18 a framework and requirements for the program. Through this
19 process, the CEC was named administrator of BUILD and the
20 PUC Decision target fell to low-income residential housing
21 for at least the first two years and further focuses the
22 scope of the program beyond equipment to a whole all
23 electric building approach. Next slide, please.

24 The initial statute authorized \$200 million for
25 both pilot programs allocated from the gas corporations

1 under the California Air Resources Board Cap and Trade
2 Program. Of that, the PUC decision appropriated \$80
3 million for the BUILD program and established that \$60
4 million would fund low-income residential projects.
5 Project funding must be allocated to the corresponding
6 utility territory for the first two years and may then be
7 expanded.

8 In addition, the statute establishes that low-
9 income residential projects do offer technical assistance.
10 The CEC set aside a substantial amount of funding for
11 technical assistance under a contract with the Association
12 for Energy Affordability, which was approved by the CEC at
13 the last September's business meeting. We are also
14 recommending the set aside of \$2 million dollars for a
15 pool, for a new adopter design awards, providing up to
16 \$100,000 to eligible applicants to offset early design and
17 architecture costs, providing meaningful support in the
18 early design phase to further spur market transformation.
19 The statute in PUC decision also establish metrics and a
20 process for the pilots to be evaluated, which these funds
21 also contribute to. Next slide, please.

22 BUILD is designed for new all-electric low-income
23 residential housing with a focus on bringing near-zero-
24 emission buildings to disadvantaged and low-income
25 communities.

1 SB 1477 also requires that BUILD projects will
2 not result in higher utility bills for residents than they
3 would have otherwise experienced. The program models the
4 rates of the all-electric building design in comparison to
5 a mixed fuel baseline. This examination of utility rates
6 and approach to the modeled residential utility cost is
7 complex. An in depth of staff work and analysis has been
8 simplified for stakeholders and the BUILD program's
9 application process. Next slide, please.

10 In in the BUILD program, we've worked to address
11 barriers in the complex industry of low-income residential
12 building development. I've mentioned the significant
13 resources committed to technical assistance in the new
14 Adopter Award to support new entrants to the market.
15 Affordable multifamily projects are often financed with a
16 patchwork of funding, and BUILD is designed to be flexible
17 and leverage other programs while appropriately
18 safeguarding the rate payer funds.

19 The BUILD application process also leverages
20 existing building requirements, including the CBECC Energy
21 Code Compliance Freeware, HERS Raters and Interconnection
22 Agreement, reducing duplicative efforts for the applicants.
23 In the program's requirement for resident bill savings
24 addresses a split incentive between tenants and owners that
25 we often see. Next slide, please.

1 The incentives of our program are based on the
2 modeled greenhouse gas emission reductions as compared to a
3 new mixed fuel prescriptive building as a baseline. Staff
4 has developed a BUILD incentive calculator that applicants
5 can use early in the design and reservation phase to
6 identify that incentive amounts available and ensure
7 project designs meet the modeled resident BUILD savings
8 requirements. Next slide, please.

9 These next two slides provide a deeper look at
10 the incentive structure. The incentives are limited to \$2
11 million per applicant over the program. Incentives will be
12 available on a first come, first served basis, with the
13 flexibility of reserving funds early in the development
14 cycle to better impact early decision making and market
15 transformation. And in our development of the modeled
16 driven utility cost methodology, staff found that some
17 buildings will need additional efficiency measures or PV
18 installed to ensure the requirement is met in that first
19 year of occupancy.

20 Staff estimates an average award of \$3,000 per
21 bedroom, depending on the building design and climate zone.
22 There are four types of incentives that make up a total
23 incentive an applicant can receive. The base incentive,
24 which is based on the GHG emissions avoided as compared to
25 mixed fuel, a building efficiency incentive based on the

1 percentage above code to help get to the modeled resident
2 utility costs, as well as an incremental incentive for PV
3 that may also be assigned to the resident to meet those
4 needs. And fourth, our kicker incentive, which further
5 reduce greenhouse gas emissions, and I'll discuss in the
6 next slide. An eligible applicant will combine all of
7 these values together for the total amount. Next slide,
8 please.

9 The purpose of offering the kicker incentives is
10 encourage equipment that reduces greenhouse gas emissions
11 but isn't easily incorporated into the building modeling.
12 This includes technologies that contribute to electrical
13 grid stability, like Grid Flex and On-site Energy Storage.
14 Low emission technologies such as heat pumps with low
15 global warming potential refrigerants, or high efficiency
16 appliances, such as induction cooktops and heat-pump
17 clothes dryers, and other things like EV chargers that
18 could actually be bi-directional. Next slide, please.

19 The CEC and PUC has been working collaboratively
20 together with stakeholders to inform program goals and
21 priorities. The program has a complex set of goals
22 designed for requiring substantial planning and extensive
23 communication with our stakeholders. The CEC made steady
24 progress developing an implementation plan quickly after
25 the initial Decision, identifying that Energy Commission as

1 the administrator, issuing a revised implementation plan
2 based on stakeholder and PUC feedback, hosting focus groups
3 with low-income housing developers providing a design
4 proposal, draft guidelines for public input, and now the
5 final guidelines that are brought to you today. Next
6 slide, please.

7 And that brings us to today. After consideration
8 by the commissioners, the guidelines will be submitted to
9 the PUC via a Tier 2 business letter for formal enactment,
10 outreach and general technical assistance has begun. And
11 we're targeting March 1st to have our incentive application
12 system built and ready for launch.

13 I'd like to thank the leadership of Commissioner
14 McAllister, and Chair Hochschild, and their staff for their
15 support. Bryan Early, Ken Rider, Bill Pennington, my
16 colleagues at the PUC, Abhilasha Wadhwa and Nick Zanjani,
17 the BUILD staff who've been very persistent and bring some
18 amazing technical skill to this issue, our legal team from
19 the Chief Counsel's Office and contract grants and loans,
20 and of the decarbonization program, the issues we've
21 grappled with have crossed divisions.

22 So I'd like to take a moment to thank Tiffany
23 Mateo, Danny Tam, Maziar Shirakh, Eugene Lee and Michael
24 Sokol from the Efficiency Division, Jeffrey Lu from Fuels
25 and Transportation Division, and our colleagues and

1 Renewables: Gigi Tien, Hughson Garnier, Jordan Scavo, Geoff
2 Dodson, Sean Inaba, Malachi Weng-Gutierrez, and Silvia
3 Palma-Rojas. I'd also like to thank staff in our IT
4 Division in developing our online application tool, and our
5 media team: Lindsay Buckley, Elaine Cajon [sp] and Carol
6 Robinson.

7 Finally, I'd like to recognize and thank all of
8 the stakeholders who participated in this process. Without
9 their direct engagement the program would not have as
10 strong of a design as it does, and it better meets the
11 needs of the low-income, affordable housing community.
12 Staff is recommending that the CEC approve the BUILD
13 Program guidelines and staff determination that adoption of
14 these guidelines is exempt from CEQA.

15 This concludes [indiscernible], and my colleagues
16 and I are available to answer any questions you may have.

17 CHAIR HOCHSCHILD: Thank you so much, Deana.
18 Terrific work. I wanted to just thank you for your
19 diligence on what has been a very, very robust and lengthy
20 process. I do think we landed in a great place, and I
21 recognize it's taken a while because of the complexities
22 here with the PUC and the collaborating on this and all the
23 back and forth as a result. But I think at the end of the
24 day we had terrific engagement from stakeholders and have a
25 strong program. So I just really want to thank you for all

1 the attention to detail, Deana, over the -- over the tenure
2 you've got on this and all the staff you've worked with.
3 Really appreciate that. With that, let's go to public
4 comment on Item four.

5 MS. GALLARDO: This is Noemi Gallardo. Sorry
6 Chair. Noemi Gallardo, Public Advisor. Attendees, if you
7 would like to make a comment, please raise your hand using
8 the raise hand icon that looks like a high-five on the
9 screen; *9 if you are on by phone and then *6 to unmute.

10 I do see a hand raised. A reminder to please
11 spell your name, indicate your affiliation, if any. Kiki
12 Velez, you will be first. Your line is open. You may
13 begin.

14 MS. VELEZ: Hello. Hi again. Kiki Velez; K-I-K-
15 I, V-E-L-E-Z. And I'm with the Natural Resources Defense
16 Council. Once again, thank you, Chair Hochschild, Vice
17 Chair Gunda, and commissioners for the opportunity to speak
18 today. And thank you so much, Deana Carrillo for the
19 presentation on the BUILD Program.

20 The NRDC is so excited to see BUILD so close to
21 launch. We know that Commission staff has been working
22 tirelessly on the BUILD guidelines and especially on making
23 the program attractive to affordable housing developers
24 who've never built electric before and to future residents
25 of these all-electric affordable housing units.

1 We just want to reiterate the scale of the
2 program. BUILD will provide technical assistance and
3 dedicate \$60 million in incentives to transform the market
4 for all electric appliances and expand access to electric
5 housing in some of the communities that are most impacted
6 by climate change and fossil fuel pollution. This is the
7 exact type of program that California needs right now if we
8 are to meet the state's fast approaching climate targets in
9 a way that is equitable and uplifting for all Californians.

10 So again, we are really looking forward to BUILD
11 launching and we applaud all the hard work that the
12 Commission has put into the development of this program.
13 Thank you.

14 MS. GALLARDO: Thank you. A reminder again, to
15 anyone who would like to make a comment to please raise
16 your hand using the raised hand icon on the screen or *9 if
17 you are on by phone.

18 Chair, I do not see any of their hands raised.

19 CHAIR HOCHSCHILD: Okay. With that, let's go to
20 Commissioner discussion, starting with Commissioner
21 McAllister.

22 COMMISSIONER MCALLISTER: Well great. Well thank
23 you, Chair. I don't have a lot to add to what you said. I
24 totally agree just with the quality of the staff engagement
25 and across agencies together in partnership with the PUC.

70

1 Deana, I have to reiterate the thanks to you for your
2 persistence and attention to detail, definitely, the
3 product is really high quality because of that. So thank
4 you, and to the whole BUILD staff. There's been many there
5 have been many hands on this project, particularly on the
6 BUILD analysis and sort of making sure that we're complying
7 with all the statutory requirements. You know, at the same
8 time, we create a program that is relatively transparent
9 and that has relatively low barriers to participation and
10 balancing all of that complexity. With a program that has
11 a public face that's understandable and digestible for
12 people is really an accomplishment.

13 And I guess I just wanted to just say, you know,
14 this is another example of the Energy Commission's
15 developing this muscle, which is -- which is an independent
16 muscle for you know, skill set, really for program
17 development and implementation. And I think, you know, we
18 have shown success in a number of these programs in the
19 past and have, I think, a bunch of opportunities coming up
20 to perhaps add resources to this program or other programs
21 and develop new programs aimed at building decarbonization,
22 transportation, and all the other, you know, battlefronts
23 that we're -- that we're on right now.

24 And so I think the public process is essential
25 for that. We have great advocates on this front. I want

1 to just thank NRDC and all the other advocates that have
2 chimed in on this. It's really helped shape the program.
3 And that sort of ear to the ground that you provide really
4 does help us end up with a better product. And so you know
5 that commitment to inclusivity, participation, and helping
6 these dollars, which are precious, have the biggest impact
7 they can have, I think, is something that we're
8 accomplishing here.

9 And going forward, as we roll the program out and
10 as we take applications, and really, as you know, Deana, as
11 you and the team, you know the rubber hits the road here on
12 the program and it starts to impact the world, we also need
13 to really keep our ears open for feedback. And the
14 guidelines process, you know it is complex with the sort of
15 joint agency ownership, but I think we do need to you know,
16 make sure to turn, to make changes, and be as flexible as
17 we can going forward to make it as easy as possible and as
18 connected as possible to the marketplace.

19 So, so with that, I just thank you so much,
20 Deana, for all your effort and all the staff. It's really
21 had nose to the grindstone for many months on this. It's
22 really great to see it come to the business meeting and I'm
23 going to wholehearted support.

24 CHAIR HOCHSCHILD: Thank you, Commissioner.
25 Well, unless there's comments from other Commissioners.

1 Commissioner -- oh, go ahead. Vice Chair Gunda, please.

2 VICE CHAIR GUNDA: Yeah, I'm going to be very
3 quick. I just wanted to recognize and provide gratitude to
4 Deana Carrillo, Erica, and Larry for providing a briefing
5 on this and helping me understand both the historical
6 trajectory of since the bill passed and where we are, but
7 also potential opportunities to really build off of this
8 program and help ensure you know, long-term equity for the
9 State.

10 So just wanted to thank the team and also, Deana,
11 I think you -- your background and your professionalism
12 kind of lends itself to a focus and diligence on ensuring
13 coordination between, you know CEC and CPUC. And it also
14 lends very well into, you know internalizing equity and
15 importance of that. So thank you for your leadership.
16 Thanks to the team and also the management team, Arland
17 [ph] and Natalie, and also thank you so much.

18 CHAIR HOCHSCHILD: Thank you. Well unless
19 there's other comments, Commissioner McAllister, I welcome
20 motion from you on Item 4.

21 COMMISSIONER MCALLISTER: I move Item 4.

22 CHAIR HOCHSCHILD: All right. Vice Chair Gunda,
23 would you be willing to second?

24 VICE CHAIR GUNDA: Second Item 4.

25 CHAIR HOCHSCHILD: All in favor, say aye.

1 Commissioner McCallister.

2 COMMISSIONER MCALLISTER: Aye.

3 CHAIR HOCHSCHILD: Vice Chair Gunda.

4 VICE CHAIR GUNDA: Aye.

5 CHAIR HOCHSCHILD: Commissioner Monahan.

6 COMMISSIONER MONAHAN: Aye.

7 CHAIR HOCHSCHILD: And I vote aye as well.

8 Item 4 passes unanimously. Thanks again, Deana
9 and the whole team.

10 MS. CARRILLO: Thank you.

11 CHAIR HOCHSCHILD: With that, we'll turn now to
12 Item 5; Report to the PUC on Supply-Side Demand Response.
13 Erik Lyon.

14 MR. LYON: Hello. A quick sound and video check.
15 Can you see me?

16 MS. GALLARDO: Yes.

17 CHAIR HOCHSCHILD: Yes.

18 MR. LYON: Okay. Great. Hello, Chair, Vice
19 Chair, and Commissioners. My name is Erik Lyon from the
20 Vice -- from Vice Chair Gunda's office, and I will be
21 presenting on an -- on the Interim Report to the CPUC on
22 Demand Response Qualifying Capacity that we are submitting
23 for adoption today. Next slide, please.

24 Demand Response, or DR, is the practice of
25 reducing electricity consumption when it is expensive and

1 polluting, particularly during times of grid strain, and
2 can include shifting that consumption to other times when
3 it is relatively inexpensive and clean, as shown in the
4 diagram. DR provides many benefits that result in cost
5 savings and greenhouse gas emissions reductions for
6 California. Next slide, please.

7 Last year, the CPUC asked the CEC to investigate
8 a number of issues that can really be summed up by the
9 question, what is the best way to measure Dr's contribution
10 to reliability? Or in technical terms, what is the
11 capacity value of a DR resource? The CPUC asked the CEC to
12 form a working group, which I will talk about next, and the
13 CEC staff have developed a report containing findings and
14 recommendations from this process. Next slide, please.

15 CEC staff spent much effort ensuring a robust
16 stakeholder process with weekly meetings that were open to
17 the public and both government and industry stakeholders.
18 The process kicked off with a workshop in July. To begin,
19 we created two working groups. One to develop principles
20 to evaluate candidate methodologies, and a second to begin
21 cataloging and fleshing out the various proposals to be
22 evaluated. These met on alternating weeks, but in
23 practice, most stakeholders joined both working groups,
24 meaning they were participating every week. In total, we
25 held 20 working group meetings and two public working

1 groups, or about 50 hours of public engagement, plus all
2 the time stakeholders gave to the process submitting
3 proposals and written comments outside those meetings. So
4 a big thanks to our stakeholders out there.

5 When it was time to bring the work of the two
6 groups together, we merge them into a single combined
7 working group. It was about this time that the
8 stakeholders brought some key issues to our attention that
9 made us rethink our process a little bit and eventually
10 decide to pursue the interim solution that I am presenting
11 today, but I will return to that point later. Next slide,
12 please.

13 We organized our finding into three categories.
14 First, a set of interrelated challenges for DR to support
15 California's electric grid reliability. While the Decision
16 requesting the CEC Working Group did not address all of
17 these directly, we have found that they must be addressed
18 holistically to allow the DR market to reach its full
19 potential. Second, as I alluded to before, the original
20 timeline planned was found to be infeasible for making
21 actionable, permanent recommendations for the Resource
22 Adequacy year 2023. And third, we found that three
23 stakeholder proposals have the potential to materially
24 contribute to California's near-term reliability, and I
25 will now cover each of these categories in additional

1 detail. Next slide, please.

2 The challenges identified here come from both
3 background in the CPUC's Decision and from stakeholder
4 feedback in the working group itself. The issue with
5 crediting really informs the CPUC request for re-examining
6 the Qualifying Capacity methodology, which is why we've put
7 it first here. Crediting refers to the practice of
8 treating certain IOU resources, which make up the majority
9 of Demand Response capacity as a reduction in demand,
10 rather than as a truly supply-side resource. In the
11 language of the Resource Adequacy Program, these resources
12 are not shown on supply plans and are not subject to the
13 ISO's reliability rules. We agree with the ISO that these
14 supply-side resources should be treated as such and shown
15 on supply plans.

16 The QC methodology is at the heart of the CPUC's
17 ask of the CEC. The current QC methodology is based on the
18 load impact protocol protocols or LIPs. And the idea is to
19 apply actual measured load impacts to conditions when
20 reliability needs are expected to be greatest. The CPUC
21 has stated unequivocally that this methodology is intended
22 to reflect DR resources contribution to reliability, and
23 while we agree with that assessment, we also recognize that
24 the approach has significant room for improvement to do so.

25 CEC staff see improving the methodology to better

1 reflect contribution to reliability to be a killgore [ph],
2 excuse me, core goal of the working group. There are two
3 sides to the issue with incentive mechanisms. On one hand,
4 the penalty for resources that provide capacity under the
5 Resource Adequacy Program was not designed for resources
6 with variability and other limitations like DR. On the
7 other hand, the vast majority of DR in California has no
8 performance incentive mechanism in place from the
9 perspective of the ISO, either because they are credited,
10 as I mentioned previously, or because DR resources can be
11 grouped into aggregations that are too small for the
12 incentive mechanism to apply. So while we do not think
13 that the current penalty structure is appropriate, we do
14 believe that some incentive mechanism is needed. Next.

15 Settlement baselines refers to the method used to
16 calculate load impacts in the ISO's energy market. So
17 critically, to settle DR transactions, we must first
18 estimate DR participants load in the absence of a DR event,
19 and this is known as a baseline. Until recently, there was
20 no appropriate baseline for weather sensitive resources
21 like smart thermostat programs, and we believe that before
22 we can measure a contribution to reliability, we must first
23 be able to measure the load impacts of individual DR
24 events.

25 Now last but certainly not least, stakeholders

1 have been clear that this process is difficult and time
2 consuming. We found these perspectives credible and
3 affirmed that the process is likely undermining
4 California's ability to deploy and rely on DR as a clean
5 resource. Additionally, the process requires performance
6 data that can be up to two years old by the year capacity
7 is contracted for. So the values cannot be adjusted as
8 portfolios change. Next slide, please.

9 The CEC working group encountered two issues with
10 the Resource Adequacy Process timeline. The first is that
11 the QC process for Resource Adequacy year 2023 was already
12 underway by the end of 2021. So by the time a decision is
13 -- would have been reached on the CEC's recommendations, it
14 would have been too late to apply to 2023.

15 Now, on the other hand, the Resource Adequacy
16 Reform Track working group was started around the same time
17 as ours and is expected to propose significant changes to
18 the RA Program for 2024. Now that could have left us in
19 the uncomfortable position of providing recommendations
20 that were too late to apply to 2023 but incompatible with
21 2024. And so together, these two findings informed our
22 decision to submit an interim report on an expedited
23 timeline. Next slide, please.

24 Throughout the working group process, we
25 identified two proposals that can each address a subset of

1 the key issues identified previously, but also found that
2 these may face implementation challenges. So we also
3 identified one that is easier to implement but might
4 represent a smaller step forward in addressing the key
5 challenges.

6 So first, PG&E proposed a load impact protocol,
7 informed effective load carrying capability, or LIP
8 informed ELCC, for short. And that's a methodology that
9 they have been collaborating closely with the ISO to hammer
10 out, and this methodology is appropriate for the investor-
11 owned utilities, currently. An ELCC based approach
12 essentially imagines an amount of what we call perfect
13 capacity, and that's a hypothetical generation resource
14 that never requires maintenance or loses efficiency under
15 high heat conditions and can change its output
16 instantaneously. Then ELCC asks how much of that
17 hypothetical perfect capacity can a real world resource,
18 such as Demand Response, replace without increasing the
19 likelihood of outages?

20 Second, the California Efficiency and Demand
21 Management Council proposed an incentive based approach
22 modeled off other independent system operators in the U.S.
23 that we have nicknamed the PJM and New York ISO approach.
24 And this approach is appropriate for third party DR
25 providers for the interim. This proposal relies on a

1 system of performance penalties to ensure compliance rather
2 than a prescriptive, upfront analytical framework. And the
3 idea is that DR providers know their resources best and
4 have the most up-to-date information on those resources.
5 So we can expect them to offer as much capacity as they can
6 reliably deliver as long as they know how they will be
7 evaluated and penalized if they underperform.

8 Now, for those who joined last month's business
9 meeting and saw the presentation on the Draft Report, I
10 will note the proposed penalty structure has changed
11 slightly based on stakeholder feedback. We are now
12 recommending a hybrid of the -- of two existing California
13 Demand Response Program penalty structures that is a little
14 bit stronger than either one on its own.

15 And finally, since the first draft, we added a
16 third methodology proposed by the California Large Energy
17 Consumers Association as a backup to the first two. The --
18 this approach takes the standard LIP outputs and weights
19 them by the -- relative probability of outages, formerly
20 called loss-of-load events during each hour. This proposal
21 incrementally improves the LIP's -- excuse me, improves how
22 the LIPs reflect a contribution to reliability by
23 recognizing changes to reliability value across different
24 hours. But it does not solve some of the other critical
25 challenges identified through this effort. So we find this

1 proposal appropriate if the CPUC deems the other proposals
2 infeasible for them to implement. Next slide, please.

3 So today we are introducing a number of
4 recommendations for the interim year of 2023, as well as a
5 few for the long-term path for the qualifying capacity of
6 DR resources. We are recommending the load impact protocol
7 based methodology, that is the status quo, be accepted in
8 the interim because there is insufficient time to require
9 DR providers to use alternate methodologies. We recommend
10 the CPUC adopt the LIP informed ELCCs for IOUs and the
11 incentive based PJM ISO approach for third party providers.
12 But we do recognize there are significant implementation
13 challenges for the CPUC to do so. Let's see, and then we
14 also recommend the loss of load probability weighted LIP as
15 a backup for either one of those in the case that they are
16 unable to be implemented.

17 To reconcile the need for the status quo in 2023
18 and our desire to move the ball forward, we are
19 recommending that that the IOUs be able to choose between
20 the LIP informed ELCC and the status quo, and third parties
21 are able to choose between the incentive based approach and
22 the status quo.

23 Next, we recommend the CPUC request that the ISO
24 provide an exemption from the Resource Adequacy
25 Availability Incentive Mechanism for any resource that

1 qualifies with the LIP informed ELCC.

2 And finally, for the interim, we recommend that
3 the CPUC direct IOUs to move their DR portfolios onto
4 supply plans, effectively ending crediting as initially
5 proposed by the ISO. However, given the tight timeline to
6 implement the new LIP informed ELCC methodology, we are
7 also recommending that the CPUC maintain a contingency plan
8 that would provide credits for IOU DR programs in the event
9 that satisfactory LIP informed ELCC values are not able to
10 be produced.

11 Next slide, please. Okay. In the long term, we
12 recommend the CPUC request the CEC to continue holding the
13 supply side DR/QC working groups into the third quarter of
14 this year, with a report to be provided by the fourth
15 quarter. We recommend the CPUC explicitly request that the
16 working group address holistically the five challenges I
17 outlined previously when developing a permanent solution.

18 And last but not least, we recommend the CPUC
19 collaborate with CEC staff on the QC counting
20 implementation, including leveraging the analytical
21 capabilities and data repository of the CEC for calculating
22 load impacts and estimating capacity value.

23 And that concludes my presentation, so thank you
24 for your time.

25 CHAIR HOCHSCHILD: Thank you, Erik. All right.

1 Let's go to public comment on Item 5.

2 MS. GALLARDO: This is Noemi Gallardo, the Public
3 Advisor. Attendees, if you would like to make a comment,
4 please raise your hand using the raised hand icon on the
5 screen or *9 if you are on by phone.

6 I do see a hand raised. We'll start with
7 Delphine Hou. Reminder to please spell your name for the
8 record, indicate your affiliation, if any. Your line is
9 open, Delphine, and you may begin.

10 MS. HOU: Right, thank you so much. This is
11 Delphine; D-E-L-P-H-I-N-E. Last name is H-O-U, Director of
12 California Regulatory Affairs at the California Independent
13 System Operator.

14 Good Morning again, Chair and Commissioners.
15 Another excellent item and the California Independent
16 System Operator expresses our appreciation to the CEC staff
17 for all of their efforts in facilitating these very
18 critical conversations around supply-side demand response
19 and providing really an excellent foundation through the
20 Working Group Report. And we really appreciate stepping
21 through these issues so carefully so that we can continue
22 having those conversations.

23 These were not easy issues to grapple with, and
24 it just took a significant amount of time commitment from
25 staff under a very short timeline. But through it all, we

1 appreciate that the CEC team kept their eyes and
2 reliability and were highly supportive of several of the
3 recommendations, including the end of crediting so that
4 investor-owned utility demand response is shown on the
5 supply side plan so that they're part of the resource
6 adequacy fleet visible to the CAISO and for putting forth
7 possible solutions for the 2023 resource adequacy here.

8 We'd like to thank David Erne, Tom Flynn, of
9 course, Erik Lyons for the excellent deep thinking on these
10 issues, the facilitation and of course, Vice Chair Gunda,
11 for your leadership on this issue.

12 The CAISO supports this item and the Working
13 Group Reports transmittal to the PUC. Thank you all for
14 your excellent work on this. Thank you.

15 MS. GALLARDO: Thank you. Let's see, again, if
16 you would like to make a public comment, please raise your
17 hand using the raise hand icon. If you're on by phone,
18 press *9.

19 Chair, I do not see any other hands raised.

20 CHAIR HOCHSCHILD: Okay. Let's turn to
21 Commissioner discussion starting with Vice Chair Gunda.

22 VICE CHAIR GUNDA: Yeah. Thank you, Chair. I'm
23 going to take a few minutes to kind of shared some thoughts
24 on this one. So I just want to begin by, you know, the
25 thank yous and I just want to recognize CPUC for their

1 openness to consider CEC as a venue to help develop a forum
2 for this discussion. So I think you know, it takes for an
3 issue, as Delphine just noted, as difficult as this one, to
4 really allow another agency to create a forum and then
5 create some solutions or ideas is not always easy and I
6 really appreciate CPUC's, you know management and
7 leadership's openness in kind of, you know, doing that.

8 This goes specifically to the CEC's unique role
9 in the State as a forum for ideation and development of
10 broad buckets of strategies. And I think I make this point
11 several times, but I think it's important to really
12 socialize the idea that given that CEC doesn't have
13 regulatory hammer in a lot of different arenas, it really
14 allows for an open, honest discussion, and I'm really
15 grateful that CEC had a chance to contribute in this arena.

16 And it goes to just thanking Tom, David Erne, and
17 as you know, Delphine again noted, Erik. You know, what a
18 -- what a wonderful leadership that you've shown in this,
19 and I just gratifying to watch you grow into this role and
20 helping move such an important conversation forward. It's
21 a big lift, and I really appreciate personally the three of
22 you for your work, but all the other staff who have been
23 working behind the scenes, including our interagency
24 partners.

25 You know, thanking stakeholders for entrusting

1 their time and lending their experience, expertise, and
2 ideas to the process, obviously including colleagues from
3 CPUC and CAISO, as well as DR industry and evaluation
4 partners. So thank you so much. Thanks for collaborating
5 specifically on this challenging issue, devoting so much
6 time and coming together to solutions that can help us move
7 the ball forward, even if it meant incrementally.

8 It is important for us to note here that all of
9 this work has to be done in good faith with others, with
10 each other so that we can help develop trust as we all
11 inevitably make concessions to our ideal approaches. And
12 it's important too to be able to trust each other in this
13 process. And this is where I really want to call on my
14 mentor, Andrew McAllister, you know for his idea on the
15 fidelity to a process and how important it is. And I'm
16 thankful to Tom, Erik and David for keeping it as their
17 core commitment throughout this process and helping the
18 process play out and to solve.

19 And a couple of high-level points. You know,
20 Demand Response has been and continues to be a valuable
21 resource for ensuring reliability, reducing GHG emissions,
22 and managing costs on the electric system, but I think we
23 all collectively recognize that there is a lot more to be
24 done to support DR as a whole and specifically supply-side
25 DR. I think we as a state need to -- state need to

1 [indiscernible] us on a vision on the DR in a comprehensive
2 implementation strategy that allows DR to be a resource
3 that we can deeply depend on collectively and have the
4 confidence in it. As we have more in transportation,
5 electrification, more demand flexibility. and behind the
6 meter storage, it just becomes really, really important
7 that we all have a shared vision. So I call on our
8 stakeholders, I call on the utilities to really help
9 develop that vision that you all think is important for the
10 State of California.

11 And obviously, measuring and valuing DR's
12 contribution to reliability is one of the major remaining
13 barriers. And as this process played out in developing a
14 robust market for supply-side DR. This issue has required
15 very close coordination, obviously, the CEC, CPUC, and
16 CAISO as the energy entities that are all vested in making
17 sure that reliability is kind of taken care of. So this
18 type of work is consistent with that vision for interagency
19 coordination, and I commend CPUC, and CEC, and CAISO staff
20 for extending that courtesy and working together and
21 developing solutions.

22 We also appreciate the opportunity to support
23 this kind of work analytically, which is consistent with
24 the Commission's role as a statewide hub for energy data
25 and analytics.

1 Finally, I want to emphasize that the request of
2 the working group is a big challenge and one of that many
3 parties have been working on for many, many years. So
4 while we might not have resolved all the things that we
5 wanted to and we set out to in these short six months, I
6 want to recognize the value of the progress we've made
7 collectively here and moving the ball forward and affirm
8 our commitment and CEC's commitment to continuing this work
9 on these issues and then moving forward the ball as a whole
10 for the State.

11 And I kind of, one addition in that is to just
12 make sure I want to congratulate and commend the three
13 proposals that came through and vetted. It's a lot of
14 work for people to develop these ideas, put forward and
15 develop the necessary analytics to defend those ideas. So
16 to the IOUs and CAISO on the proposal, the [indiscernible],
17 as well as CLECA for your incredible ideas and time to move
18 this conversation forward. Thank you. And I look forward
19 to advancing this conversation and making sure DR becomes
20 an important element of the State's portfolio.

21 I don't have any questions for Erik. Erik, I
22 have an unlimited access to Erik, so I look forward to
23 supporting this item and we are ready.

24 CHAIR HOCHSCHILD: Thank you, Vice Chair. Other
25 comment, Commissioner McAllister.

1 COMMISSIONER MCALLISTER: Yes. So thanks for the
2 opportunity to chime in here, I think. So first, I want to
3 recognize Vice Chair Gunda, you know, for your leadership
4 on this and just building really just being a locus of
5 collaboration, you know, and sort of building that -- an
6 environment, that context, that that really does allow
7 people to come together. I think our agency partners and -
8 - really appreciate. I know they appreciate it, and I
9 think it's really created a foundation for this kind of
10 collaboration and trust. So. So kudos to you for that. I
11 know -- I know, you know, our colleagues at the other
12 agencies appreciate that as well.

13 In this case, you know, I won't repeat anything
14 that Vice Chair Gunda said just because you know, you said
15 it so well, but I did want to just acknowledge a couple of
16 things. One, you know, the implementation of these
17 proposals. There's a lot of work ahead for the next couple
18 of years, right, as we make this transition in the
19 implementation of this proposal as it goes forward is, in
20 the near term, maybe more work than sort of in the recent
21 past rather than less. But with this vision that we need
22 to maintain that we get to a workable solution that really
23 finds the sweet spot there for supply-side DR.

24 And we have so much technology available that can
25 make this work. I think we just all know that sort of

1 intuitively and those of us you know who have been in the
2 sort of tech side of things for years, we're just in such a
3 -- such an amazing opportunity, this moment, to begin to
4 apply these new technologies as they really mature in the
5 marketplace and as the cost comes down and as people learn
6 to use them and they get socialized, the ability to
7 aggregate, to control and aggregate sort of in real time
8 for grid management purposes, just really multiplies that
9 opportunity to expand.

10 And so that's the idea here with the supply-side
11 DR is to enable that as a resource that does truly
12 substitute for traditional supply. And so I think we've
13 got some of that, you know, in fits and starts. We've made
14 progress. But I think really this all-encompassing vision
15 is what's needed, and the agencies can come together and
16 make that a reality.

17 And then on the flip side, I think you know,
18 whatever it sort of doesn't fit in this new bucket that
19 we're designing of supply-side DR, we really need to be
20 very intentional about how that relates to the demand-side
21 or the permanent load shifting type of demand response.
22 And so those are reflections of each other. And so I think
23 the -- I'm very, very interested in, as we move forward
24 with load flexibility and the building standards and on
25 appliance, the flexible demand appliance standards, and our

91

1 R&D efforts, that we really keep very clear the sort of
2 various types of demand flexibility that we are promoting
3 in the State and how they fit into our overall planning
4 efforts, whether it's on the DR side, the forecasting, you
5 know, and some mix of all of our various efforts.

6 And so I think, you know, the -- to sort of
7 revisit this theme of the Commission's location in these
8 discussions, I think we are developing sort of a series of
9 products and platforms, analytical capabilities that really
10 do allow us to help to manage and bring structure and bring
11 clarity to these conversations as they all move forward in
12 parallel. And just the cross divisional work will only
13 get, I think, more intense as we move forward. And that's
14 as it should be because we have so much integration that's
15 going on.

16 So with that, I just wanted to say thanks to
17 Erik, David, Tom, the whole team for giving me regular
18 briefings about this and sort of the play-by-play. I know
19 it hasn't been that easy, but the platform, that's what
20 these discussions are. You know, people get in the room
21 and they and -- they say their peace, and that's exactly
22 what we need. So I think that building on that trust going
23 forward, it's going to be very, very important. And I'm
24 glad we've got the team on it that we do so. So thanks.
25 Thanks again.

1 CHAIR HOCHSCHILD: Great. Oh, yes. Go ahead.
2 Commissioner Monahan, please.

3 COMMISSIONER MONAHAN: Just really quick.
4 Thanks, Erik. That was a great presentation. Thanks for
5 your leadership on shepherding what sounds like a difficult
6 project. And I have a question for you and maybe a
7 comment.

8 When we met a month ago, was it, at the last --
9 for the last business meeting that you presented, we talked
10 about the fact that there weren't transportation
11 electrification interests at the table for this. And I'm
12 curious if you've able -- if you've been able to have a
13 transportation voice at -- in these conversations or
14 whether that's something we still need to reach out and
15 get.

16 MR. LYON: Yeah. So we really haven't met since
17 the Draft Report has gone out. But yeah, I think we still
18 have -- we can -- it would be great to get out and recruit
19 some of those voices.

20 COMMISSIONER MONAHAN: Well, and I'm happy to
21 have my office help with that. I really do think it's a
22 critical piece. And as we've seen from actually the IEPR
23 and from the 2127 Report that indicates up to 21% increase
24 in 2030 just from transportation electrification compared
25 to today's electricity load. I mean, that's huge.

1 MR. LYON: Mm-hmm.

2 COMMISSIONER MONAHAN: That's a huge flexible
3 load. And as we're investing in vehicle-to-grid school
4 buses like it would just be great if we could make sure
5 that they're at the table. I mean, now it's small. By
6 2030 it's going to be a huge opportunity. So I'm looking
7 forward to working with you to make sure that we can get
8 some of those voices to be part of the conversation.

9 MR. LYONS: Absolutely. Likewise. Thanks.

10 CHAIR HOCHSCHILD: Thank you, Commissioner.

11 So with that, I would welcome a motion on Item 5
12 from Vice Chair.

13 VICE CHAIR GUNDA: Thank you, Chair. Move Item
14 5.

15 CHAIR HOCHSCHILD: Commissioner McAllister, would
16 you be willing to second?

17 COMMISSIONER MCALLISTER: I second Item 5.

18 CHAIR HOCHSCHILD: All in favor say aye.

19 Vice Chair Gunda.

20 VICE CHAIR GUNDA: Aye.

21 CHAIR HOCHSCHILD: Commissioner McAllister.

22 COMMISSIONER MCALLISTER: Aye.

23 CHAIR HOCHSCHILD: Commissioner Monahan.

24 COMMISSIONER MONAHAN: Aye.

25 CHAIR HOCHSCHILD: And I vote aye as well.

1 Item 5 passes unanimously.

2 Let's turn now to Item 6; DEKRA Certification,
3 Inc.

4 MR. LU: Yeah. Good afternoon, everybody. My
5 name is Jeffrey Lu. I'm an air pollution specialist
6 working on charging infrastructure topics in the Fields and
7 Transportation Division. I will be going through Item 6 of
8 the agenda today, which is an agreement package with DEKRA
9 Certification. Next slide.

10 This agreement package with DEKRA will help
11 establish a charter testing lab here in California, and
12 we're excited because this supports our vision for easy
13 grid-integrated charging and will offer several benefits to
14 Californians. Overall, this agreement will help us scale
15 charger interoperability as EV adoption grows, meaning that
16 a charger will be more likely to function correctly with a
17 wide range of electric vehicle models, as well as a wide
18 range of network providers that can manage these chargers
19 in the cloud.

20 For context, today industry sorts through a lot
21 of its charger interoperability challenges by pairing
22 together a specific charger with a specific vehicle or
23 specific charger in a specific network provider, and then
24 checking that everything works correctly between them.
25 This one by one testing approach is useful and really good

95

1 for catching edge cases, but it's simply not scalable as
2 the number of EVs and chargers continues to rise.

3 This agreement will help scale interoperability
4 by offering a consistent and repeatable lab testing process
5 to ensure that our chargers meet a baseline level of
6 conformance, and this will complement that round robin
7 approach that I just described. This improved
8 interoperability has a lot of secondary outcomes as well.
9 It helps enable a charging experience that's even easier
10 than the gas pump, and it helps support our ability to
11 harness California's EVs as grid assets. We're talking
12 about vehicles that automatically charge-up on clean and
13 cheap solar generation during the day and vehicles that
14 power our homes and buildings when there's an outage or
15 even just when electricity is expensive. Finally, with
16 interoperable hardware, we provide entrepreneurs with a low
17 barrier platform where they can develop and meet end-user
18 friendly charging services and products. Next Slide.

19 We put out a competitive solicitation for this
20 project last year, and today we're proposing to award \$1.97
21 million to DEKRA Certification to establish a charger
22 testing lab for EVs, for EV chargers. This lab has a name,
23 the Vehicle Grid Innovation Lab, or ViGIL, for Short.
24 DEKRA has an existing facility in the East Bay already, and
25 this grant will help them procure new equipment and staff

1 to convert that facility into a charger testing lab.

2 We expect this agreement to result in three full-
3 time jobs at ViGIL. At ViGIL, DEKRA will provide
4 conformance testing for industry standards and protocols
5 related to charging. So these include ISO, 15118, open
6 ChargePoint protocol, as well as the metering related tests
7 based on Handbook 44 requirements.

8 Since ViGIL will be right here in California, it
9 will be a local resource for the many charging providers
10 and charger manufacturers in the state. These companies
11 that call California home won't need to deal with hefty
12 shipping fees to have their equipment tested on the other
13 side of the country. And if all goes as planned, we expect
14 ViGIL to be up and running as soon as late this year. Next
15 slide.

16 Overall, ViGIL is a key component of our vision
17 for easy-to-use, interoperable, and grid-integrated
18 charging for all of California. And as such, I'm excited
19 to present ViGIL to you today and heartily recommend that
20 you approve this grant agreement with DEKRA and adopt our
21 determination that this project is exempt from CEQA.

22 I'd love to answer any questions that you have,
23 and I believe we have the entire DEKRA team called in today
24 as well. Thank you. And this concludes my presentation.

25 CHAIR HOCHSCHILD: Thanks so much, Jeffrey.

1 Let's go to public comment.

2 MS. GALLARDO: This is Noemi Gallardo, the Public
3 Advisor. Attendees, if you'd like to make a comment,
4 please use the raise hand feature. Looks like a high-five
5 on the screen or *9 if you are on by phone and then *6 to
6 unmute.

7 I do see one hand. Reminder to please state your
8 name. Spell it for the record and indicate your
9 affiliation, if any. Bryan Mikesh, you are first. Your
10 line is open. You may begin.

11 MIKESH: Hello. This is Bryan Mikesh; B-R-Y-A-N,
12 M-I-K-E-S-H. I'm the Managing Director with DEKRA
13 Certification. I'd like to thank the California Energy
14 Commission and the ViGIL working team who helped with the
15 DEKRA Grant Application Review.

16 DEKRA is honored to be selected for the proposed
17 award. We look forward to working with the CEC in the
18 development of the ViGIL facility in the DEKRA Concord,
19 California, facility area. We'll be working with the CEC
20 team members in the industry to build a competent and
21 successful ViGIL implementation. DEKRA is working hard and
22 is very excited to be part of this amazing opportunity to
23 promote industry certification standards in the CEC
24 sponsored ViGIL facility.

25 On behalf on behalf of DEKRA, I'd like to extend

1 gratitude to the CEC and highly supportive CEC team,
2 Jeffrey Lu, Kiel Pratt, Charles Smith, and Melanie Vail.
3 Thank you all.

4 MS. GALLARDO: Thank you. All right. One more
5 reminder, if you would like to make a comment, please use
6 the raise hand feature or if you are on by phone, Press *9.

7 Chair, I do not see any other hands raised.

8 CHAIR HOCHSCHILD: Okay. Thank you.

9 Let's go to Commissioner discussion, starting
10 with Commissioner Monahan.

11 COMMISSIONER MONAHAN: Well, as a big proponent
12 of having standard standardization, which helps drive down
13 costs, and I think that actually there's nobody right now
14 that is more steeped in this than Jeffrey. I would --
15 maybe Kyle, there's a few of you, but Jeffrey really has
16 been a thought leader in the Field and Transportation
17 Division on standardization, and I just want to thank him
18 personally for the work he's done on that. I know it, you
19 know we've -- this also encompasses 15118 standardization
20 and a lot of stakeholder outreach that's been occurring
21 around this just to make sure that we are moving forward in
22 a way that is -- that will help accelerate transportation
23 electrification and support industry investments in the
24 right kinds of technologies.

25 So this lab, having it in California, actually

1 near my, kind of near my house, I really appreciate the
2 fact that ViGIL is funding innovation in this space, and I
3 think it'll help in terms of just driving down costs and
4 making it easier for everybody to plug in their vehicles.

5 CHAIR HOCHSCHILD: I did want to ask you a
6 question if I could, just of Jeffrey on that point. I
7 wonder, Jeffrey, if you could just give us a quick snapshot
8 of the state-of-play with the different charge connectors.
9 I mean, there's been CHAdeMO, and Tesla, and TCS and just
10 kind of the direction the market is moving, you know with
11 respect to standardization.

12 MR. LU: Yeah. In North America, California
13 included, I think there is movement among automakers to
14 standardize around CCS. You'll see that both driven from
15 market announcements. Nissan's upcoming SUV is going to
16 use CCS, not CHAdeMO, unlike the Leaf that they released
17 earlier. And then, of course, our sister agency at CARB is
18 proposing a CCS adapter or inlet requirement as part of
19 Advanced Clean Cars II. Tesla does use its, and continues
20 to use its, proprietary connector here in North America.
21 In Europe, they do use CCS II for their vehicles there.

22 CHAIR HOCHSCHILD: Is there anything that,
23 anything further we can be doing at the Energy Commission
24 to support that? And mean clearly, standardization is a
25 good thing. It sounds like it's underway, but I'm just

1 curious if there's anything else that's needed.

2 MR. LU: I think it depends how heavy handed you
3 want to be and how long you want this conversation to last,
4 but I think generally aligning our requirements in any of
5 our programs that we put out with those that are being put
6 out by CARB is helpful. I think generally both CEC and
7 CARB are on this track toward supporting the
8 standardization in the market already.

9 CHAIR HOCHSCHILD: Great. Well, let's just stay
10 attentive to that. I think that's a huge cost savings for
11 everybody if we can have standardization there. I saw --
12 yeah, go ahead, Commissioner.

13 COMMISSIONER MONAHAN: It's probably -- it's
14 probably worth a longer conversation, but I think it's
15 worth a longer conversation. So this might be a good
16 follow-up meeting to have.

17 CHAIR HOCHSCHILD: Yeah, absolutely. Whatever
18 you recommend. Just, I mean it sounds like we're on a good
19 path, but anything else we can be doing or funding or
20 convening to support that.

21 Vice Chair Gunda, you had a question, or comment.
22 You are muted. we're not hearing you.

23 VICE CHAIR GUNDA: Sorry. Can you hear me okay?

24 CHAIR HOCHSCHILD: Yes.

25 VICE CHAIR GUNDA: Okay. Yeah. I just wanted to

1 say thanks to Jeffrey, and I think and I just wanted to
2 kind of reiterate, I think, Commissioner Monahan's point
3 earlier on the previous item. And thank you, Jeffrey, for
4 providing some notes to our office on this issue. Just
5 like really looking forward to, looking and watching the
6 progress, and you know thinking through how best we can
7 integrate EVs to support grid-reliability and resiliency.
8 So I think, you know, this is a great step in that path and
9 looking forward to supporting it and look forward to
10 conversations with you and the team on learning more.
11 Thank you.

12 CHAIR HOCHSCHILD: Okay. Unless there's other
13 comments, we'll go ahead and entertain a motion on Item 6
14 from Commissioner Monahan.

15 COMMISSIONER MONAHAN: I move Item 6.

16 CHAIR HOCHSCHILD: Vice Chair Gunda, would you be
17 willing to second item six?

18 VICE CHAIR GUNDA: I second Item 6.

19 CHAIR HOCHSCHILD: All right. All in favor say
20 aye.

21 Commissioner Monahan.

22 COMMISSIONER MONAHAN: Aye.

23 CHAIR HOCHSCHILD: Vice Chair Gunda.

24 VICE CHAIR GUNDA: Aye.

25 CHAIR HOCHSCHILD: Commissioner McAllister.

1 COMMISSIONER MCALLISTER: Aye.

2 CHAIR HOCHSCHILD: And I vote aye as well.

3 Thank you, Jeffrey. Outstanding presentation.

4 Congrats to the whole team. That item passes unanimously.

5 So it's 12:15. I propose we take a break for

6 lunch and reconvene at 1:00. We'll see everybody then.

7 (Off the record at 12:15 p.m.)

8 (On the record at 1:00 p.m.)

9 CHAIR HOCHSCHILD: All right, welcome back,
10 everybody. We will turn now to Item 7; ChargePoint.

11 MS. ODUFUWA: Yes. Good afternoon, Chair and
12 Commissioners. My name is Esther Odufuwa, Energy
13 Commission specialist with the Fields and Transportation
14 Division, Freight and Transit Unit. Today, we are seeking
15 approval for about \$2 million agreement with ChargePoint,
16 Inc, otherwise known as ChargePoint. ChargePoint will
17 innovate charging solutions for medium-duty, heavy-duty
18 electric vehicles, particularly electric buses and powered
19 vehicles, to the development of an automated invited
20 pantograph charging system.

21 So what is the pantograph? It is a device that
22 mounts to a structure or building infrastructure and
23 extends a charging arm onto the roof of a vehicle as you
24 will see the picture on the next slide. So this will mate
25 with conductive interface to transfer power. Reliable and

1 innovative charging solutions are crucial to allowing
2 medium-duty, heavy-duty fleet to rapidly transition to
3 zero-emission in the future. This project will also reduce
4 CO2 emissions by nearly 139,000 metric tons, which is over
5 12 years, and that is the designed lifetime of the
6 pantograph.

7 This CO2 benefit, we actually estimated based on
8 the number of miles that would have otherwise been driven
9 on a conventional vehicle. But this does not assume any
10 particular number of vehicles. Next slide.

11 Through this agreement, again, ChargePoint will
12 design this automated inverter pantograph charger with a
13 charging capacity that has a charging limitation up to 600
14 kilowatts compared to 110 kilowatt limited conventional
15 combined charging system connector or CCS connector.

16 Just a little bit background about pantograph.

17 CHAIR HOCHSCHILD: I'm sorry, Esther, I missed
18 that. How many kW was that?

19 MS. ODUFUWA: 600. So the limitation for the
20 pantograph is 600 kW, but this is compared to the 110
21 kilowatt limited conventional CCS connector.

22 CHAIR HOCHSCHILD: 600. Wow. That's incredible.
23 Okay. Sorry.

24 MS. ODUFUWA: Yeah. The current of pantograph
25 hardware supports charging currents up to 600 amps, but

1 there are no buses that can actually accept such power and
2 support charging rates of this magnitude. So this project
3 will test the pantograph system of electric buses at
4 checkpoints, Campbell California facility.

5 Additional information about this pantograph.
6 They have been determined to have several advantages over
7 traditional charging cables, also medium-duty, heavy-duty
8 vehicles and this large or medium-duty, heavy-duty vehicles
9 have higher capacity batteries, which require longer dwell
10 times due to the power carrying limitations in the
11 conventional charging connectors of the vehicles.

12 One thing to also note is that conventional
13 cables are usually the first component to require
14 replacement in the EV airspace. They can be very expensive
15 at over \$1,500 per cable, and they require skilled labor to
16 repair them. So by removing this component, the
17 maintenance costs of [indiscernible] EVSE will be reduced
18 over the lifetime of the system. There will also be
19 reduced labor costs and other benefits that come from
20 charging applications, such as saving on real
21 [indiscernible] costs. And you can see that in the
22 picture, with the pantograph is just one structure, but
23 with the charging cables, you have wires all that can cause
24 safety issues when buses are driving within the depot.

25 So, in addition, in order to facilitate

1 interoperability amongst numerous vehicle types,
2 ChargePoint would develop a universal smart charger
3 interface, or USCI, which will accommodate any charger
4 connector, whether it's the pantograph itself, or the
5 wireless socket pin, or some type of proprietary connector.
6 The USCI will ensure the charging infrastructure can
7 support the fleet operators evolving vehicle mix while
8 mitigating any concerns about stranded assets. Next slide.

9 Now, the primary target market for the pantograph
10 solution is the municipal bus fleet operators in North
11 America and Europe that actually need high capacity and
12 quick charging options. For example, in 2018, the Air
13 Resources Board established a mandate that California
14 transit bus must be zero-emission by 2040. So altogether,
15 the 200 public transit agencies operate nearly 12,000 buses
16 statewide, and only a fraction are currently electric.

17 Furthermore, with the Executive Order N-79-20,
18 which established a goal that 100% of medium- and heavy-
19 duty vehicles in the state be zero-emission by 2045 for all
20 operations, where feasible, and 2035 for trucks. This
21 project will present an enormous opportunity to electrify
22 depots and transit routes throughout the state.

23 Furthermore, the electric bus operators are
24 increasingly demanding the charging solution that is
25 actually automated, as in this case with the pentagram.

1 For example, we have two major California eBus operators,
2 LA Metro and the San Francisco Municipal Transportation
3 Authority. They've already announced the rollout of more
4 than 3,400 eBuses, and these vehicles will require
5 compatibility with an automatic connection device. All in
6 all, agreement like this have the potential to rapidly
7 increase the deployment rate of buses and their
8 corresponding infrastructure over the next decade. Next
9 slide.

10 In summary, we would like to recommend approval
11 of nearly \$2 million agreement with ChargePoint and staff
12 determination that this action is exempt from CEQA. This
13 concludes my presentation.

14 Thank you all for your time and consideration of
15 this item, and we are available for any questions you may
16 have. I believe Dedrick Roper, Director of Public Private
17 partnership with ChargePoint, is available on the call as
18 well. Thank you.

19 CHAIR HOCHSCHILD: Great. Thank you, Esther.
20 Noemi, do we have public comment?

21 MS. GALLARDO: Let me check. This is Noemi, the
22 Public Advisor. If anyone has a comment, you can raise
23 your hand using the raised hand icon on the screen. If you
24 are on by phone, please press *9 to raise your hand, *6 to
25 unmute. I do see a hand raised here.

1 Reminder to please restate your name. Spell it
2 for the record and indicate your affiliation, if any. All
3 right, we'll begin with, it looks like Dedrick. Let's see,
4 Dedrick, I see that you had your hand up and now have
5 lowered it, so I'm going to open your line. Do you still
6 want to make a comment?

7 MR. ROPER: Hi. Good afternoon. Can you hear
8 me?

9 MS. GALLARDO: Hello, we can hear you. Yes.

10 MR. ROPER: Okay. Hi. This is Dedrick Roper,
11 Director of Public Private Partnerships with ChargePoint.
12 Esther, thank you for that presentation and just want to
13 thank the Energy Commission staff for this opportunity and
14 specifically for the BESTFIT Program. I can't say enough
15 about how well structured the program is to support late
16 stage commercialization in the EV industry. This
17 pantograph project, while a high priority for us, it wasn't
18 necessarily something on our immediate roadmap. We had to
19 put it kind of on the sideline, and the Energy Commission
20 dollars accelerated our ability to you know, prop this
21 project up and gave us the certainty to hire the resources
22 we'll need to complete this. So just want to highlight,
23 you know, a significant amount of effort that went into
24 getting us to this point. But the Energy Commission funds
25 being incredibly critical in accelerating our ability to

1 move forward with that.

2 Again, we're really excited about this project.

3 You know, many mandates pushing for the electrification of
4 transit vehicles increased emphasis on Made in America and
5 thanks again to the Energy Commission for helping us build-
6 out our manufacturing capacity for DC fast chargers in
7 Campbell. We are poised to capitalize on many of these
8 opportunities. So just want to say thank you and I'm happy
9 to answer any questions about the project site.

10 The rendering we had there showed both the
11 pantograph and separately another project, which is
12 overhead cable rail for focus on light-duty vehicles. So I
13 know that might have been a little bit confusing, but just
14 wanted to share a little bit more on that picture.

15 CHAIR HOCHSCHILD: Hey Dedrick, this is David
16 Hochschild. Thank you for your work and for the education.
17 I didn't know what a pantograph was, let alone an inverted
18 pantograph. So learn something new every day.

19 Question for you. 600 kW is a lot of juice. Is
20 that the biggest charger on the market today? I've not
21 heard of a charger that powerful before.

22 MR. ROPER: Yeah. You know, we're planning for
23 the future. Buses, vehicles are not requesting that kind
24 of power today, but when you look at transit operations
25 where they're going, both electrifying the depot as well as

1 on-route charging is going to be critical once we have more
2 of the fleet electrified. So having that capability in the
3 wild is kind of what the pantograph does, and the universal
4 connector will enable that pantograph structure to
5 accommodate various connector types as they come to market.

6 CHAIR HOCHSCHILD: Thank you. Noemi, do we have
7 any additional public comment on Item 7?

8 MS. GALLARDO: Let me check real quick. This is
9 Noemi, the Public Advisor. If anyone else would like to
10 make a comment, please use the raise hand feature. Press
11 *9 if you're on by phone.

12 CHAIR, I see no more hands raised.

13 CHAIR HOCHSCHILD: Okay. Let's go to
14 Commissioner discussion, starting with Commissioner
15 Monahan.

16 COMMISSIONER MONAHAN: Well Chair, just to build
17 on your question. What I've heard is that these 600
18 kilowatt chargers are being tested out in different places,
19 mostly in the EU, and they're thinking about it more as
20 like a quick burst flash charging where you just get enough
21 juice to get you know, you maybe just for 15 seconds, but
22 it gives you a big infusion. I mean, it could refuel the
23 vehicle in like five minutes, which is maybe faster than
24 diesel, actually. But you know, for the battery
25 degradation issues, there's some -- I think they're just,

110

1 and maybe Dedrick could actually speak about this too. But
2 there's some concerns around how frequently you can do
3 this. That's why flash charging might be the most -- the
4 most critical use of this, in especially transit buses.

5 But and just to say thanks to Esther and the
6 team, and the whole BESTFIT Project. This has been really
7 cool. Actually, ViGIL and BESTFIT are two of my favorite
8 of our solicitations because it's really dealing with this.
9 How do we -- how do we make charging you know, sort of this
10 intersection between R&D actually and deployment and where
11 we're really trying to tackle these big challenges in the
12 charger ecosystem through our grants. And I too am really
13 excited to see this come to fruition.

14 Just these -- the innovation happening in the
15 charger world as we're having innovations in the battery
16 space and innovations in transportation, electrification
17 more broadly are just so exciting and the fact that the
18 Energy Commission is investing in some of these really
19 critical questions for how do we build out a charging
20 ecosystem that is future proofed and where we're testing
21 out these kind of innovations in the marketplace

22 So thanks to Dedrick and the team of ChargePoint
23 for putting out an application that managed to pass our
24 scrutiny and really looking forward to seeing this in
25 action.

1 CHAIR HOCHSCHILD: Commissioner, just with your
2 permission, if we could just go a little deeper on that,
3 maybe for Dedrick and Esther, what actually is the duty
4 cycle that's envisioned for these? Are these going to just
5 be doing very, very short charges, and if so, I mean, how
6 much of the battery capacity are you actually recharging?

7 MR. ROPER: Yeah. I think Commissioner Monahan
8 was exactly correct. These are quick bursts on route. So
9 think about a bus that is out for multiple hours and you
10 just want to get that quick boost. You know, it's a --
11 it's a dance, right. There's an optimization of your
12 energy costs, your fleet schedules, you know, the renewable
13 mix of the grid. The fleet application provides such a,
14 you know, a great opportunity to optimize all these
15 resources. So it's another component in the fleet
16 operation to you know, to best keep those buses operating
17 and keep them moving.

18 CHAIR HOCHSCHILD: So it's kind of like a triple
19 caffeinated cappuccino or something, a small cup. So but
20 just so we're clear, like if -- are you actually
21 recharging? If it's only for 15 seconds, just help us
22 understand for a typical vehicle, what percentage of charge
23 would that add to the vehicle's capacity?

24 MR. ROPER: Yeah, I think TBD on that again.

25 CHAIR HOCHSCHILD: Okay.

1 MR. ROPER: There are no vehicles that can accept
2 that, you know, there are no buses that can accept 600 kW
3 today.

4 CHAIR HOCHSCHILD: Okay.

5 MR. ROPER: So I think as we, you know, learn as
6 we, you know, and this this interoperability site will give
7 us a lot of those key learnings. Look at the battery
8 cycles, look at how long a vehicle can sustain that high of
9 a charge because as you know, the charge may shoot up
10 really fast but taper off pretty quickly.

11 CHAIR HOCHSCHILD: Right.

12 MR. ROPER: So I think there's a lot we can learn
13 from this project.

14 CHAIR HOCHSCHILD: Great. Okay, that's really
15 helpful. Other questions from Commissioners.

16 VICE CHAIR GUNDA: Yeah.

17 CHAIR HOCHSCHILD: Yeah. Go ahead, Vice Chair.

18 VICE CHAIR GUNDA: Just a -- yeah just a quick
19 question, comment, I guess you know, so. Again, Esther,
20 thank you so much for your presentation. Really innovative
21 project. Looking forward to learning from it, hopefully
22 want to visit. So looking forward to that.

23 Just kind of flagging this as an opportunity for
24 us to gather some data, especially you know, given how much
25 the forecast is changing and then the more and more

1 granular geographic and temporal granularity we need for
2 grid reliability and resiliency analysis. I think it'll be
3 a great opportunity to think through what kinds of data
4 might be gathered in a potentially for CEC's analysis and
5 such. So just wanted to flag that as an opportunity here
6 and would love to have that discussion moving forward.

7 MS. ODUFUWA: Yes. That'll be great. Thank you.

8 COMMISSIONER MONAHAN: I think actually, I'm
9 sorry.

10 CHAIR HOCHSCHILD: No. Go ahead.

11 COMMISSIONER MONAHAN: That's a great point, Vice
12 Chair Gunda. I was thinking, you know, about Chair, you've
13 used this quote like, we want to have an EV happy hour, so
14 EVs are actually running on sunshine, and I use it all the
15 time. So thank you for that excellent quote. And this is
16 another place where we can really explore that, right.
17 Transit bus cycles are kind of perfect for this. When you
18 want to flash charge in the middle of the day when you're
19 running these long routes and it'll run on sunshine. So
20 let, I mean, we should test out to that, not just for grid
21 resilience, but also for integrating renewables and having
22 a zero-carbon transportation system.

23 VICE CHAIR GUNDA: Thank you for that. I will
24 take note of that as we continue to develop the project.

25 COMMISSIONER MCALLISTER: I'll just throw in real

1 quick. I mean, I think sort of building on the last two
2 points. You know not everyone -- it sounds like the model
3 is kind of have one of these sort of here and there and not
4 cluster them in groups of 10 or more, you know because
5 they're kind of along the route. But still 600 kilowatts
6 is a lot. And I, you know, it'll be interesting to sort of
7 map the need and the transit routes locally, say, with the
8 local transportation planning entity, the regional training
9 organizations, the regional transit organizations and the
10 cogs across the state and sort of mapping the routes and
11 the ridership to the actual, you know, to the actual, you
12 know, essentially distribution, high-voltage distribution
13 grid, where these things are going to be would likely be
14 interconnected. It'll be interesting to sort of pick out
15 the sweet spots with some intentionality.

16 CHAIR HOCHSCHILD: Mm hmm. I was going to say,
17 first of all --

18 VICE CHAIR GUNDA: Chair.

19 CHAIR HOCHSCHILD: -- to, just on the EV happy
20 hour. I do use that quote all the time. However, I did
21 not coin it. That was Byron Washom at UC San Diego, who
22 coined it so credit where credit's due. It's a good one.
23 We got to come up with an iteration involving triple
24 cappuccino, which is, I think, more when I think of it.

25 One point I just wanted to make is I could

1 envision in areas where the distribution grid is really
2 constrained. I mean, 600 kW is a lot of juice, that
3 something like this would co-locate with storage, right,
4 and that that would be a great area for potential further
5 demonstration of you know, different storage chemistries
6 and so forth, if it really turns out that this type of
7 application will be, you know, we see this being really
8 instrumental to make more electric transit work or extend
9 range and so on. So I just want to put that that out there
10 as well.

11 I'm sorry. I think I interrupted you, Vice
12 Chair.

13 VICE CHAIR GUNDA: Yeah Chair.

14 CHAIR HOCHSCHILD: Yeah, please.

15 VICE CHAIR GUNDA: No, no Chair. You actually
16 framed it really well. I think that's exactly what I was
17 going to. It's kind of like thinking through the impact on
18 the rates, you know, the distribution upgrades, the
19 transmission upgrades. I think this is a really wonderful
20 project to gather information on a multitude of vectors
21 here. I mean, like, we have the opportunity to understand
22 just the demand ability to understand the demand
23 flexibility, ability to understand potential by
24 directionality. You know, I think that's opportunity.

25 And as Chair kind of mentioned, to the extent

1 that this could have beyond the infrastructure costs of
2 putting in actual charging equipment, more about substation
3 upgrade or such, it might be really helpful to understand
4 how do we envision this slightly more long term. So
5 looking forward to tracking this, I think this is a
6 wonderful project to track. Thank you.

7 CHAIR HOCHSCHILD: Okay. Great. I just want to
8 open up, any final comments, Dedrick, from you or Esther on
9 this that you wanted to say?

10 MS. ODUFUWA: Yeah. I was actually going to add
11 some points that, at least from what I read about the
12 project, that with the power -- they have the power
13 management software, which is one of the features for the
14 project, that charging can occur overnight or at times when
15 the grid is not stressed. So and they have this open ADR
16 [INDISCERNIBLE] by your end load for receiving demand
17 response commands. So this can be used as a mapping for
18 designated group of EVs within maybe a particular site or
19 within a particular zip code. So they have that. So I
20 will definitely monitor this as the project progresses. So
21 just want to point that out?

22 MR. ROPER: Yeah. This is Dedrick. I would just
23 share that we -- I believe we do have a 12-month
24 interoperability period where we're going to be bringing
25 vehicles to the location --

1 MS. ODUFUWA: Yeah.

2 MR. ROPER: -- and collecting data on, you know,
3 developing a standardized interoperability testing script
4 and running through that and sharing that as a part of the
5 final report. And you know we'd certainly welcome
6 additional opportunities to use this project to learn going
7 forward.

8 CHAIR HOCHSCHILD: Great. Great. Thank you
9 Dedrick and thank you, Esther.

10 Okay, if there is no further Commissioner
11 discussion, I would welcome a motion on Item 7 from
12 Commissioner Monahan.

13 COMMISSIONER MONAHAN: I move to approve Item 7.

14 CHAIR HOCHSCHILD: Commissioner McAllister, would
15 you be willing to second?

16 COMMISSIONER MCALLISTER: I'll second.

17 CHAIR HOCHSCHILD: All in favor say aye.
18 Commissioner Monahan.

19 COMMISSIONER MONAHAN: Aye.

20 CHAIR HOCHSCHILD: Commissioner McAllister.

21 COMMISSIONER MCALLISTER: Aye.

22 CHAIR HOCHSCHILD: Vice Chair Gunda.

23 VICE CHAIR GUNDA: Aye.

24 CHAIR HOCHSCHILD: And I vote aye as well.

25 Item 7 passes unanimously. Congratulations to

1 ChargePoint and the team. Thank you, Esther.

2 MS. ODUFUWA: Thank you.

3 We'll turn now to Item 8, Bringing Rapid
4 Innovation Development to Green Energy.

5 MR. FERREIRA: Good afternoon, Chair and
6 Commissioners. My name is Michael Ferreira, and I work in
7 the Energy Research and Development Division. I'm here
8 today seeking approval for two new grant agreements that
9 resulted from our BRIDGE 2020 solicitation. BRIDGE is one
10 of a series of programs we've established to enable clean
11 energy startups, with this funding opportunity having the
12 specific purpose of bridging the gap between public and
13 private funding opportunities. Next slide, please.

14 One of the overall benefits of BRIDGE is
15 advancing innovative technologies that can enable the
16 transition to a clean energy economy. Some of the specific
17 benefits of the agreements being discussed today include
18 improved grid resilience and reliability, as well as lower
19 costs through technologies that can reduce peak demand and
20 increase renewable baseload production. Next slide,
21 please.

22 The first agreement is with the auto energy to
23 continue development of the Solar Leaf, a grid connected
24 solar plus storage battery backup solution. Currently, the
25 process to install batteries on commercial solar projects

119

1 is complex and expensive, with these systems typically
2 requiring their own building with HVAC, fire suppression
3 systems, and other complicated design elements. Also, the
4 ability to add on storage as utility rate programs change
5 is not straightforward when it comes to permitting and
6 interconnection. All of this makes energy storage costs,
7 or energy storage cost prohibitive, even with significant
8 technological advancements.

9 The auto industry has developed a smart energy
10 storage solution designed to scale with rooftop solar PV
11 projects at about the size of a briefcase, the auto panel
12 level panel level energy storage fits under any standard
13 solar module, neatly integrating with the solar rack.
14 Their technology features advanced thermal management,
15 which maintains an optimal working temperature even under
16 extreme outdoor conditions.

17 Panel level of storage brings many advantages
18 similar to other module level power electronics like micro
19 inverters and DC optimizers, including simplification of
20 design, power efficiency and power optimization. Their
21 innovation overcomes many industry challenges and minimizes
22 cost of engineering, procurement, and construction, as well
23 as soft costs of permitting and interconnection.

24 In this project, Yotta Energy will build on their
25 existing Solar Leaf technology to demonstrate the ability

1 to provide battery backup, which can be used to reduce peak
2 demand charges and overall cost for the customer and
3 provide a resilient solution in a distributed, scalable,
4 and affordable format. Next slide, please.

5 The next agreement is with GreenFire Energy to
6 determine the commercial viability of closed-loop
7 technology in a steam dominated geothermal reservoir. New
8 geothermal power production is essential to help California
9 meet its renewable energy production goals by providing
10 reliable, high capacity baseload electricity. However,
11 many steam -- in many steam dominated fields, such as the
12 geysers in Northern California, any attempt to boost
13 production by adding new conventional geothermal wells
14 simply rob steam from the existing wells and accelerates
15 the rate of water depletion.

16 GreenFire Energy has developed a steam dominated
17 GreenLoop, a closed-loop geothermal energy system that
18 generates power from resources where conventional systems
19 cannot effectively operate, typically due to a lack of
20 water or pressure. The GreenLoop being demonstrated used a
21 down-bore heat exchanger to extract heat without consuming
22 subsurface water and pressure. Closed-loop systems such as
23 this one substantially reduce the cost, risk, and time
24 needed for new projects and quickly -- and provide a quick,
25 low cost way to fix wells that will fail over time.

1 The ability to produce power from steam dominated
2 resources without losing water or pressure is crucial to
3 the future power development of the geysers and other steam
4 dominated resources where geothermal power production will
5 decline -- will decline without water injection. Next
6 slide, please.

7 Staff recommends approval of these two grant
8 agreements and staff's findings that these projects are
9 exempt from CEQA. This concludes my presentation. Staff
10 is available for questions, and I believe Joseph Sherer
11 from GreenFire Energy is online for comment.

12 CHAIR HOCHSCHILD: Great. Thank you, Michael.
13 Do we have public comment on Item 8?

14 MS. GALLARDO: Let me check. This is Noemi
15 Gallardo, the Public Advisor. Attendees, if you would like
16 to make a comment, please raise your hand using the raise
17 hand icon on the screen that looks like the high-five. If
18 you are on by phone, please press *9 to raise your hand, *6
19 to unmute.

20 I do see a couple of hands raised. A reminder to
21 please restate your name, spell it for the record, and
22 indicate your affiliation, if any. We'll begin with Joseph
23 Sherer. And apologies if I mispronounce your name. Your
24 line is open, and you may begin.

25 MR. SHERER: Great, thank you. I hope you can

1 hear me.

2 CHAIR HOCHSCHILD: Yes. We can.

3 MR. SHERER: Okay. Yes. My name is Joe Sherer
4 and it's S-H-E-R-E-R. And I'm the CEO of GreenFire Energy
5 and am I happy to answer any questions you might have about
6 our GreenLoop technology and project at the geysers.

7 But principally, I want to say thank you to
8 everyone involved, Chairman Hochschild, Deputy Director
9 Jonah Steinbach and to compliment and thank CEC for the
10 BRIDGE Program itself in two particular respects. As
11 GreenFire was awarded a prior grant by CEC back in 20 --

12 CHAIR HOCHSCHILD: Hey, Joseph, we are -- sorry
13 Joe. Can you go back a little bit? We lost you for a
14 second.

15 MR. SHERER: Oh. [indiscernible]. How about
16 this?

17 CHAIR HOCHSCHILD: You're kind of coming in and
18 out there.

19 MR. SHERER: Okay. How about -- how about that?

20 CHAIR HOCHSCHILD: A little better.

21 MR. SHERER: Okay. All right. Well, so we
22 received a grant from the CEC back in 2017 that we applied
23 to our technology at the Coso geothermal field, which I'm
24 sure you know is in Southern California. And that was to
25 show the feasibility of our closed-loop down-bore heat

1 exchanger approach. And we tested both water and
2 supercritical CO2 and completed that project in 2020. And
3 our report, by the way, to the Commission has been
4 downloaded hundreds, if not thousands of times. So that
5 worked out well.

6 And we really appreciate Elizabeth de Jong who
7 was our manager on that one. Since then, we've actually
8 been working to realize our technology with variations on
9 our closed-loop [indiscernible], which is what our new
10 proof of concept is, right. So --

11 CHAIR HOCHSCHILD: Okay. You're going -- you're
12 going a little bit in and out there, but I think we got the
13 -- I think we got the --

14 MR. SHERER: Oh, okay. Yeah.

15 CHAIR HOCHSCHILD: I think we got the gist of it.
16 Yeah. Okay, thank you.

17 MR. SHERER: So thank you and thanks for the
18 BRIDGE program because I think it's very effective and in
19 the additional purpose of bridging the gap between
20 technical feasibility and actually demonstrating it at the
21 commercial level, which is what this project at the geysers
22 is all about. In a -- in a steam dominated, we can use our
23 technology to substantially increase the sustainability of
24 a great resource, the largest geothermal resource in the
25 world, and because more parts are to be used and thereby

1 achieve, or contribute at least, to California's clean
2 energy goals.

3 So I'm here to answer any questions if you'd like
4 and thanks to our Commissioner agreement manager as well,
5 [indiscernible] Gilbert who has helped us to this point.

6 CHAIR HOCHSCHILD: Thank you, Joe. I do have a
7 question. I'll hold it for the moment, though, and come
8 back to you, but if you can try to get to a better cell
9 phone situation, you're coming in out there a little bit.

10 Noemi, do we have any additional public comment
11 on Item eight?

12 MS. GALLARDO: Yes. We have another hand raised.
13 So Jenn Gallegos, if you could restate your name, spell it
14 for the record and indicate your affiliation, if any. Your
15 line is open, and you may begin.

16 MS. GALLEGOS: Hi, good afternoon. Thank you.
17 This is Jenn Gallegos, Director of Programs and
18 Communications at Yotta Energy. Thanks again for the
19 presentation, Michael, and to the entire team that we've
20 been working with at CEC. Thank you CEC Board members and
21 Commission members for hearing this today.

22 We're looking forward to working on this project.
23 This Distributed Solar Plus Storage Battery Backup Project
24 for the state of California. I am happy to answer any
25 questions that you all may have this afternoon. Thank you.

125

1 CHAIR HOCHSCHILD: Thanks, Jenn. Yeah, stay on
2 the line. I do have a question for you, but let's just see
3 if there's -- are there any additional public comments?

4 MS. GALLAGO: This is Noemi, the Public Advisor.
5 I do not see any other hands raised.

6 CHAIR HOCHSCHILD: Okay. Yeah, I just had one
7 question for each of you. Maybe I'll start with Yotta
8 Energy, which is just, I see your fitting some things under
9 the solar panels. And one of the things I think there's
10 always an issue is just heat dissipation. And I'm just,
11 with the way you're setting it up, how are you planning for
12 heat dissipation under the solar? Is there a way to get
13 just for the efficiency of the panels to be high and so I'm
14 just curious how you are contemplating that in the design.

15 And that's a question for Jenn.

16 MS. GALLEGOS: Hi. Yes.

17 CHAIR HOCHSCHILD: Jenn Gallegos.

18 MS. GALLEGOS: Yes. Yes. No, that's a great
19 question. And for our technology, we actually have a
20 patented thermal management system, and that system is a
21 passive system, so it doesn't require any sort of mechanics
22 or power to make it work. And what it does is it makes
23 sure that the batteries are operating at the optimal
24 temperature. So during the day, as the temperature
25 increases, there's a phase change material that works to

1 absorb that excess heat. There are also some strategically
2 placed fans, or are not fans, sorry fins at the back of the
3 product that also are working to dissipate energy. In the
4 evening what happens once the sun goes down, that phase
5 change material turns back into a solid material, and so it
6 resets that process. So the next day it can do that same
7 thing over and over.

8 And it's similar technology, just to bring it
9 into the real world, it's similar technology to what's used
10 on satellites in space. So that similar technology is what
11 we've adapted for these batteries that are working under
12 these solar panels on roofs. Does that help?

13 CHAIR HOCHSCHILD: Yeah. Very helpful. Thank
14 you.

15 Then a question related to GreenFire. Just
16 curious to the -- can you give us a little better sense of
17 the size of the loop and the types of applications that
18 that heat would serve?

19 MR. SHERER: Right. Can you hear me now?

20 CHAIR HOCHSCHILD: Yes. Mm-hmm.

21 MR. SHERER: Good. For the demonstration proof
22 of concept project, we're using an existing steam
23 dominated well and it's not a U-loop configuration. If you
24 -- it's a coaxial loop, so you're going down the bore in a
25 vacuum insulated tube and coming up in the annulus around

1 that vacuum insulated tube. And for many of the wells in
2 the northwest geysers, which are all steam dominated,
3 mostly all steam dominated and could be retrofitted with
4 our technology or new purpose drilled wells in the
5 northwest geysers, we could do that with coaxial drilling,
6 which of course doesn't have the challenges of doing
7 completions for U-loop drilling or with U -- with U-loop
8 configuration.

9 And we have patents and experienced modeling both
10 U-loop and coaxial configurations. But for one thing about
11 this test project, such as our proof-of-concept at Coso, is
12 using existing wells, obviates the uncertainty of drilling
13 and of course avoids the cost of drilling new wells, just
14 to demonstrate and show it can be scaled for commercial
15 levels. And the overall plan is going for -- is to charge
16 at 100 megawatts.

17 CHAIR HOCHSCHILD: All right. Okay. Thank you
18 both for those answers. Colleagues, I'm sorry to take up
19 so much time on that. Any other questions for any of these
20 folks.

21 COMMISSIONER MCALLISTER: Not a -- not a
22 question, but just a -- just a comment that you know, these
23 -- agree that the BRIDGE Program is excellent and really
24 commend staff, Joe and team for working, for you know,
25 harvesting all these great projects and bringing in these

1 ideas so that we can fund them.

2 You know, obviously affordable multifamily is
3 super important for the State to move forward on, and we
4 need solutions, and we need to get cost down across the
5 board, including with the onsite generation piece. And
6 GreenFire, you know, kudos for coming up with ways to
7 repurpose existing resources and you know, get the most out
8 of them and take advantage of California's homegrown
9 natural resources. So we really appreciate that effort.

10 CHAIR HOCHSCHILD: Great. Do you appreciate it
11 enough to move the --

12 COMMISSIONER MCALLISTER: I do. I'll move Item
13 8.

14 CHAIR HOCHSCHILD: Commissioner Monahan, would
15 you be willing to second?

16 COMMISSIONER MONAHAN: I second.

17 CHAIR HOCHSCHILD: All in favor, say aye.
18 Commissioner McAllister?

19 COMMISSIONER MCALLISTER: Aye.

20 CHAIR HOCHSCHILD: Commissioner Monahan?

21 COMMISSIONER MONAHAN: Aye.

22 CHAIR HOCHSCHILD: Vice Chair Gunda?

23 VICE CHAIR GUNDA: Aye.

24 CHAIR HOCHSCHILD: And I vote aye as well.

25 Item 8 passes unanimously.

1 We'll turn now to what may be the best name on
2 our agenda today, which is RockeTruck. It was a close call
3 between GreenFire and RockeTruck, but what a great name.
4 Item 9. Let's welcome Quenby Lum.

5 MS. LUM: Good afternoon, Chair, Vice Chair, and
6 Commissioners. I'm Quenby Lum from the Energy Research and
7 Development Division. Today we're recommending one award
8 from an epic solicitation that was focused on projects to
9 advance technologies in mobile renewable backup generation.

10 Five other projects from this solicitation were
11 approved at previous business meetings. The goal of these
12 projects is to provide backup power using clean energy
13 mobile units during public safety, power shutoffs,
14 wildfires, and other grid outage events. This will help
15 meet the growing need for clean backup power solutions to
16 offset or replace fossil fuel diesel generators, which emit
17 greenhouse gases and pollution. Next slide, please.

18 The benefits of this project include increased
19 electricity reliability and resiliency, emergency service
20 and response capacity, improved safety for communities
21 during outages, reduced greenhouse gases, air pollution
22 emissions and noise levels compared to diesel generators.

23 As shown on the map here, there are multiple
24 demonstration sites located in and near a mix of
25 disadvantaged, low-income Native American tribal lands and

1 Tier 3 high-fire threat districts to help support these
2 communities during outages. Demonstrations will also take
3 place in different climate zones and in different seasons
4 throughout the year to ensure system performance is robust
5 in a variety of weather conditions. Next slide, please.

6 The proposed awardee is RockeTruck. The project
7 team will develop and demonstrate a mobile fuel cell
8 generator to meet growing needs for flexible backup power
9 solutions. This mobile system is designed to be mounted on
10 a flatbed trailer and towed to the location needed. The
11 system will generate up to 120 kilowatts of power by
12 combining 60 kilowatts from hydrogen fuel cells and 60
13 kilowatts from lithium-ion batteries.

14 In this concept diagram, 150 kilograms of
15 compressed hydrogen is stored in the hydrogen tank
16 enclosure on the left, which feeds the two fuel cells on
17 the bottom right. Adjacent to these two fuel cells are two
18 lithium-ion phosphate batteries. The system will provide
19 35 kilowatts of power continuously for 48 hours, but the
20 modular hydrogen and battery components can be sized to
21 meet different needs.

22 RockeTruck will use green hydrogen for this
23 project to be procured from the Hydrogen Research and
24 Fueling Facility at California State University Los
25 Angeles. Next slide, please.

1 Staff recommends approval of this grant agreement
2 and adoption of the determination that this action is
3 exempt from CEQA. With me today is Mike Gravely from the
4 Energy Systems Research Office, and we're available to
5 answer any questions you may have.

6 This concludes my presentation. Thank you.

7 CHAIR HOCHSCHILD: Thank you. Let's go to public
8 comment on Item 9.

9 MS. GALLARDO: This is Noemi Gallardo, the Public
10 Advisor. If any attendees would like to make a comment,
11 please use the raise hand feature; looks like a high-five
12 on the screen. You'd press *9 if you're on by phone.
13 Again, use the raise hand feature on the screen or press *9
14 if you are on by phone.

15 Chair, I do not see any hands raised.

16 CHAIR HOCHSCHILD: Okay. Let's go to
17 Commissioner discussion. This looks really compelling.
18 I'm encouraged to see that it's actually 48 hours of
19 continuous power. That's significant. And I just
20 wondered, Mike Gravely, did you want to make any additional
21 comments or color commentary before I open it up to other
22 Commissioners?

23 Mike, are you with us? He may not be able to
24 speak.

25 MR. GRAVELY: I'm sorry, Commissioner. Yeah.

1 You know, just real quick. Obviously, this is an area we
2 were looking for. You know, we had a workshop a year ago
3 looking at alternatives for diesel generators. And also
4 we've been going through several summers of disturbances.
5 And so these technologies are designed specifically to
6 address the communities that are facing these and the
7 services like emergency services, and fire services, and
8 medical services that need this kind of protection and not
9 have to bring a diesel generator and a whole bunch of
10 diesel fluid with them.

11 So I think this is, as you mentioned before,
12 there were seven grants actually announced. We've done six
13 so far. The last will come in the future. And so I just
14 think it's an area where we're looking at creative. All
15 these six solutions you've seen so far are different. And
16 so we're looking at creative ways to provide clean
17 alternatives, but also to provide services, in particular
18 to disadvantaged and under-resourced communities.

19 As an example, in this case, most of these are
20 doing that and we're doing them through many different
21 locations. So the goal here is to demonstrate these
22 technologies are robust and can meet the needs and also are
23 -- will be competitive in the future when it comes to
24 comparing them to alternatives such as diesel generators.

25 CHAIR HOCHSCHILD: Yeah. Terrific.

1 Commissioners, any further comments?

2 COMMISSIONER MCALLISTER: Yeah, just a really a
3 question. So this looks like a very cool project
4 technologically and also, you know, clearly has a niche
5 that we've identified and we're trying to fill with these
6 grants. I guess I'm wondering, you know, so it says
7 produce up to 120 kilowatts of power, 60 from hydrogen and
8 60 from lithium-ion batteries; I'm kind of wondering what
9 the -- what the design kind of impetus was for having the
10 batteries, which obviously don't produce power, they just
11 have to get it from somewhere. So kind of wanting a little
12 more insight into how this is anticipated to actually
13 operate, you know, with onboard hydrogen and batteries and
14 trying to trying to balance the two; recharge the
15 batteries.

16 MR. GRAVELY: Well, I don't speak for the
17 company, but I can just tell you in general, we had a
18 requirement that they had to be able to provide 24 hour --
19 48 hours continuous service. And so we found that the
20 combination of the storage and the technology works better.
21 I'm seeing, so as opposed to just this hydrogen. They may
22 find out later that it can run without the battery or
23 whatever. But, and I think in this case, it was for their
24 requirement need to demonstrate their ability to operate
25 for 48 hours continuously without any interruption. So I

134

1 think that would be the primary design criteria.

2 I would have to ask the company, specifically, to
3 answer your question. We can get back to you with that
4 answer.

5 COMMISSIONER MCALLISTER: Yeah, thanks. That
6 would be helpful, and I mean, I imagine that means that the
7 fuel cell has to recharge the batteries or there's some
8 kind of, you know, market niche that they're looking at.
9 So it'd be helpful to understand that. That looks like a
10 neat project.

11 VICE CHAIR GUNDA: Vice Chair Gunda, please.

12 VICE CHAIR GUNDA: Yeah. Chair, thank you. I
13 think maybe this is something we talked -- we discussed
14 yesterday. Quenby, thank you so much again for the
15 briefing yesterday. Very much appreciated the talk.

16 You know, we discussed this and then for the
17 broader group, I just wanted to share, one of the things,
18 you know, as it pertains to reliability and grid kind of
19 overall interconnection, we were kind of discussing
20 yesterday how we can begin to really talk about a taxonomy
21 for the storage kind of investments that CEC's putting in
22 and whether it's long duration storage on one end of the
23 spectrum for grid connectivity to projects like this. So
24 we were discussing having a taxonomy and how we think about
25 where we see the biggest need and how best to invest in

135

1 them. So just want to flag that. And Mike and I know you
2 were not on the call if you have anything to add, great, if
3 not, you know, up to continue the discussion.

4 MR. GRAVELY: So just that we got your request,
5 and we definitely see the value of that, and we are
6 fortunate. With an epic program, we have a wide variety of
7 applications and a wide variety of uses and technologies to
8 consider, so we certainly can put that together.

9 VICE CHAIR GUNDA: Thank you.

10 CHAIR HOCHSCHILD: Unless there's other
11 commissioner comments or questions, I would welcome a
12 motion from Commissioner McAllister on this item.

13 COMMISSIONER MCALLISTER: Yes. I'll move Item 9.

14 CHAIR HOCHSCHILD: Vice Chair Gunda, you be
15 willing to second? All in favor --

16 VICE CHAIR GUNDA: I second Item 9.

17 CHAIR HOCHSCHILD: -- aye.

18 Commissioner McAllister?

19 COMMISSIONER MCALLISTER: Aye.

20 CHAIR HOCHSCHILD: Vice Chair Gunda?

21 VICE CHAIR GUNDA: Aye.

22 CHAIR HOCHSCHILD: Commissioner Monahan?

23 COMMISISONER MONAHAN: Aye.

24 CHAIR HOCHSCHILD: And I vote aye as well.

25 Congratulations to the team. I love the name.

1 RocketTruck is a very memorable name.

2 And we will turn now to item 10; Proposed
3 Resolutions Approving Two ECAA Loans to Municipalities to
4 Finance Energy Efficiency and Renewable Energy Projects.

5 MR. LOCKWOOD: Yes. Good afternoon Chair, Vice
6 Chair and Commissioners. My name is Sean Lockwood and I'm
7 a team member in the Renewable Energy Division. I'm here
8 to request your approval of two Energy Conservation
9 Assistance Act loan agreements with the cities of Eureka
10 and, cities of Eureka and San Leandro. Please note that
11 the Energy Conservation Assistance Act is commonly known by
12 the acronym ECAA, and that is how I will refer to it for
13 this presentation. Next slide, please.

14 The ECAA program provides low-simple interest or
15 zero-interest loans for energy efficiency and energy
16 generation projects. Benefits to California from ECAA loan
17 funded projects include reducing greenhouse gas emissions,
18 improving health outcomes in respective communities, the
19 creation of green jobs, and saving and generating energy
20 resulting in lower utility costs. Next slide, please.

21 The City of Eureka is a small city located in the
22 northwest corner of California in Humboldt County with a
23 population of about 27,000. The City of Eureka is
24 proposing to finance an energy project using an ECAA 1%
25 interest loan in the amount of approximately \$1.4 million.

137

1 The project involves installing LED lighting and a 340
2 kilowatt solar array at the City's water treatment plant,
3 offsetting 100% of electric use from both the water
4 treatment plant and nearby Eureka Zoo. The project will
5 also install a 77 kilowatt solar array at the High Tank
6 site, offsetting 35% of the site's electric use. Next
7 slide, please.

8 The city of San Leandro is located in the East
9 Bay of the San Francisco Bay Area with a population of
10 about 90,000. The City of San Leandro is proposing to
11 finance an energy project using an ECAA 1% interest loan in
12 the amount of approximately \$1.3 million.

13 The project involves 14 city sites, lighting
14 retrofit upgrades to LED lighting at all 14 sites. HVAC
15 upgrades at four city sites. And a variable frequency
16 drive for a pool circulation pump at the City's aquatic
17 center, adding a health benefit to the energy savings.
18 This loan provides the opportunity for the City to finish
19 their lighting efficiency upgrades for the interior portion
20 of their lighting as they've already upgraded most of their
21 exterior lighting to LEDs in the last couple of years. It
22 also allows the City to upgrade their aging HVAC systems,
23 including a chiller at City Hall that has reached the end
24 of its useful life. Next slide, please.

25 Staff has reviewed these projects and determined

1 they are technically sound. Each project meets the ECAA
2 financial cost effectiveness and loan repayment term
3 requirements. As you can see in this chart, the City of
4 Eureka Project is estimated to save more than 525,000
5 kilowatt hours annually, resulting in energy cost savings
6 projected at nearly \$95,000.

7 The City of San Leandro project is estimated to
8 save more than 550,000 kilowatt hours annually, resulting
9 in energy cost savings projected at over \$112,000. Next
10 slide, please.

11 Staff recommend approval of these loans. Legal
12 staff found these projects to be exempt from the California
13 Environmental Quality Act. Thank you for your
14 consideration.

15 This concludes my presentation. If you have any
16 questions, I'm happy to answer them.

17 CHAIR HOCHSCHILD: Thank you, Sean. Terrific.
18 Let's go to public comment on Item 10.

19 MS. GALLARDO: This is Noemi, the Public Advisor.
20 Attendees, if you would like to make a comment on this
21 item, please raise your hand using the raised hand icon
22 that looks like a high-five on the screen or pressing *9 if
23 you are on by phone and then *6 to unmute.

24 Chair, I do not see any hands raised.

25 CHAIR HOCHSCHILD: Okay. Well, these look

1 terrific as all ECAA projects do to us. I do have a
2 request, Sean, for you and really maybe more for the media
3 team. ECAA has been such a big success story for the
4 Energy Commission. It's really, I believe it started in
5 you know 1982 or something. If I'm remembering right and
6 it's just under a thousand projects, I think without --

7 MR. LOCKWOOD: It's 79.

8 CHAIR HOCHSCHILD: 79. Thank you. Thank you.
9 79 and I don't believe we've had any defaults in the
10 history of the program. You know, I think we should
11 generate an infographic that summarizes, you know, the
12 total number of projects funded, estimated savings,
13 greenhouse gas reductions, the maybe a pie chart with the
14 different, you know, how much is going to solar, how much
15 is going to efficiency and so on, and maybe even a map
16 because this program gets virtually no attention except
17 from the people who use it. But it's really one of the
18 crown jewels of the Energy Commission.

19 I'm just -- I know Commissioner McCallister and I
20 have talked about this a lot. It's just an incredible
21 thing. We'd love to see it continue to grow and thrive.
22 So that's one request I have for you to take up with the
23 communications team and see if we can come up with a good
24 infographic and map or something that we can, just to
25 showcase a little bit the success to each.

1 I don't have any comments on the items. They
2 look terrific. Colleagues, unless there are specific
3 comments or questions we can answer. Please.

4 COMMISSIONER MCALLISTER: Yeah. Well, I think I
5 think staff is one step ahead already. They're already
6 developing those resources and there's a lot kind of in
7 store for the ECAA program. And I think as it's likely to
8 get some additional funds as we get some, some pullback
9 funds from the Prop 39 Program, that have not gotten
10 extended at the schools. And I think there's a lot of
11 opportunity to do a little revamp and update. Yes, the
12 outreach and the visual and the sort of analytics behind
13 it, characterizing the programs. But also doing kind of
14 more business friendly or more kind of more economic
15 analysis on these projects, as you're kind of suggesting
16 with the technology mix and the return on investment kinds
17 of metrics that we can really understand that program going
18 better.

19 CHAIR HOCHSCHILD: Am I -- I think remembering
20 right, Sean, correct me if I'm wrong. But I believe that
21 last year, the Legislature expanded eligibility.

22 MR. LOCKWOOD: Yes.

23 CHAIR HOCHSCHILD: To include tribal governments
24 and also to include EV charging as an eligible storage.

25 COMMISSIONER MCALLISTER: Storage.

1 MR. LOCKWOOD: Eligible Storage. Yah. Correct.

2 CHAIR HOCHSCHILD: Okay. Good. Excellent.

3 Well, I look forward -

4 COMMISSIONER MCALLISTER: Yeah so --

5 CHAIR HOCHSCHILD: Sorry. Go ahead,

6 Commissioner.

7 COMMISSIONER MCALLISTER: No. So yeah. So I
8 think there's just a really good, even better future going
9 forward for ECAA. And you know, zero default means not
10 much risk, right? And maybe that means we need to sort of
11 rethink how aggressive the -- we want might want to be with
12 on the innovation front with ECAA. And so just one thought
13 and then not that we're going to invite defaults, but just
14 that, you know, obviously the program really plays it safe
15 and maybe we want to keep that direction, but that we may
16 be able to sort of help schools innovate in ways that
17 they're not finding other funds to do.

18 And then also, you know, as interest rates start
19 to creep up, you know, and our economy sort of enters a new
20 phase, I think ECAA will become even more central to a lot
21 of these public entities that aren't going to find really
22 favorable terms for the rest of the other capital that they
23 might have access to.

24 CHAIR HOCHSCHILD: Yeah.

25 COMMISSIONER MCALLISTER: So I think ECAA really

142

1 has a bright future and we're absolutely right to toot its
2 horn.

3 CHAIR HOCHSCHILD: Yeah.

4 COMMISSIONER MCALLISTER: And let the world know
5 about that. But these two projects, you know, I love the
6 mix. I'm a big fan of doing sort of the unsexy
7 infrastructure of these funds. You know, the HVACS and the
8 kind of stuff that the private sector isn't tending to
9 engage in quite as much as like solar. Lighting is
10 relatively straightforward. But the harder stuff like
11 HVAC, I think is really an integral part of the mix as
12 well. So these two projects represent the diversity --

13 CHAIR HOCHSCHILD: Well, we think HVACS are sexy,
14 even if we -- COMMISSIONER MCALLISTER: We
15 absolutely do. Yeah.

16 CHAIR HOCHSCHILD: -- [indiscernible] this year.

17 COMMISSIONER MCALLISTER: Exactly. But you know,
18 it's all about our kids. I mean, we've been focusing Prop
19 39 for years and our kids really need quality HVAC. So I
20 just I really love to see this mix.

21 CHAIR HOCHSCHILD: Yeah.

22 COMMISSIONER MCALLISTER: So, yeah. So thanks to
23 the City of Eureka and the City of San Leandro for taking
24 some leadership on these.

25 CHAIR HOCHSCHILD: Yeah.

1 COMMISSIONER MCALLISTER: All right.

2 CHAIR HOCHSCHILD: Colleagues, unless there's
3 further comments or questions on this, I'd invite a motion
4 on Item 10 from Commissioner McAllister.

5 COMMISSIONER MCALLISTER: I move Item 10.

6 CHAIR HOCHSCHILD: Okay. Vice Chair Gunda, would
7 you be willing to second that?

8 VICE CHAIR GUNDA: I second Item 10.

9 CHAIR HOCHSCHILD: All in favor, say aye.
10 Commission, McAllister?

11 COMMISSIONER MCALLISTER: Aye.

12 CHAIR HOCHSCHILD: Vice Chair Gunda?

13 VICE CHAIR GUNDA: Aye.

14 CHAIR HOCHSCHILD: Commissioner Monahan?

15 COMMISSIONER MONAHAN: Aye.

16 CHAIR HOCHSCHILD: And I wrote aye as well.
17 Item 10 passes unanimously.

18 We'll turn out Item 11, the Minutes from the
19 January 26 Business Meeting. Any public comments on that?

20 MS. GALLARDO: This is Noemi Gallardo, the Public
21 Advisor. Attendees, if you would like to comment on this
22 item, number 11, please raise your hand using the raised
23 hand icon on the screen that looks like a high-five. If
24 you're on by phone, press *9 to raise your hand, *6 to
25 unmute. H

1 Chair, I do not see any raised hands.

2 CHAIR HOCHSCHILD: Okay. Vice Chair Gunda, would
3 you be willing to move Item 11.

4 VICE CHAIR GUNDA: Move Item 11.

5 CHAIR HOCHSCHILD: Commissioner Monahan, would
6 you second that?

7 COMMISSIONER MONAHAN: I second that item.

8 CHAIR HOCHSCHILD: All in favor, say aye.

9 Vice Chair Gunda?

10 VICE CHAIR GUNDA: Aye.

11 CHAIR HOCHSCHILD: Commissioner Monahan?

12 COMMISSIONER MONAHAN: Aye.

13 CHAIR HOCHSCHILD: Commissioner McAllister.

14 COMMISSIONER MCALLISTER: Aye.

15 CHAIR HOCHSCHILD: And I vote aye as well.

16 That item passes unanimously.

17 We'll turn now to Item 12, Lead Commissioner or
18 Presiding Member Reports. Let's maybe start with
19 Commissioner Monahan.

20 COMMISSIONER MONAHAN: Okay. well, I want to
21 start by saying I've been watching some of the Olympics and
22 it's been a little bittersweet because I don't know if you
23 guys remember, but we signed an MOU with the City of
24 Zhangjiakou [ph], which is where they're holding the Winter
25 Olympics. And, you know, it's like super cold there. It's

145

1 like so cold that the snow is -- it's like very cold for
2 the athletes. And they -- it's the lead city for hydrogen
3 and the lead city for fuel cells. And they are moving all
4 the Olympic athletes in fuel cells powered by 100% green
5 hydrogen.

6 And it's a little sad because I, you know,
7 relations with China are so bad for good reasons right now
8 that it makes some of these collaborations a little bit
9 more difficult. And yet we, you know, China, the world's
10 biggest market for vehicles and it has been a game changer
11 when it comes to battery electric vehicles helping drive
12 down the price of batteries for the world. And now China
13 is turning towards hydrogen for medium- and heavy-duty.
14 And in fact, lead cities like Shanghai, Beijing, in
15 addition to Zhangjiakou [ph], are all have these plans to
16 build out hydrogen and to have more fuel cells on the road
17 in the medium- and heavy-duty sector.

18 So anyway, just a little sadness on my part about
19 the situation. There's been a number of different
20 international just issues coming up. There's a U.S. -
21 Mexico Electrification of Transport Task Force that's been
22 developed, and UC Davis is part of this, as is the Ministry
23 of Foreign Affairs of Mexico. So I'm participating in a
24 work group around that and that -- the first meeting was
25 just ,a couple of weeks or so ago. February 8th.

1 Commissioner McAllister and I have done some
2 mining of information by other countries on industrial
3 decarb strategies, particularly Denmark and Germany, which
4 are, I think maybe ahead of us in the game in terms of
5 thinking through some solutions. So really trying to map
6 out what we could do here in California, learning from
7 these lead countries.

8 Just yesterday, I testified before the Senate
9 Transportation Committee, together with Chair Randolph.
10 And the topic was the role of electricity, hydrogen and
11 natural gas in California's transportation system. And
12 there were some air districts, including South Coast Air
13 Quality Management. They're really making a strong case
14 for natural gas as a transition fuel. So just a really
15 interesting, I think, discussion around the role of these
16 different fuels. And the topic was specific to medium- and
17 heavy-duty vehicles, not passenger vehicles. But it was a
18 -- there was a lot of interest by the committee, a long
19 hearing. They had a lot of different stakeholders after us
20 presenting information. And just, I think, an example of
21 how much interest there is in the Legislature right now on
22 transportation. And I think as we move to support the
23 Governor's budget that we're going to, and we're already
24 seeing, a lot of interest by the Legislature.

25 So there's going to be a lot of hearings that

1 Hannon [ph], Russell, Drew will be involved in, and you
2 know, it's a long road to get to the final budget. But I'm
3 very hopeful that there will be a lot of good funding for
4 clean transportation as well as clean energy broadly.

5 We had talked about the hydrogen hub piece just
6 to kind of get folks up to speed. So the -- so GO-Biz and
7 especially Tyson Eckerle, who is the Co-Chair of the Fuel
8 Cell Partnership, is really going to be a point, I think,
9 for the State of California, in terms of helping all the
10 agencies collaborate on ensuring that California is a green
11 hydrogen hub. And the role of government vis a vis private
12 interests, I think is still kind of -- we're figuring this,
13 this all out. But there's definitely, I think, across all
14 the agencies, CARB, at least CARB, CEC and GO-Biz. We're
15 aligned in trying to make sure that we can get a green
16 hydrogen hub here in California.

17 I can't remember if I had the retreat with CARB
18 before or after. So we had a retreat on school buses. And
19 it was really helpful, and I think you know, everybody,
20 we're committed to this one government approach. I'm sure
21 I speak on behalf of Chair Randolph that the idea that we
22 want to make sure that we hit it out of the park on school
23 buses and we have a good story to tell to the -- to about
24 how we're helping with kids health as we electrify school
25 buses.

1 And I also am very hopeful that the ZEV dashboard
2 is going to be expanded in the next several months to
3 include medium- and heavy-duty vehicles, and hopefully we
4 can line item out with which ones are school buses and
5 which ones are transit buses. I think we're still figuring
6 out if DMV data can parse down to that level, but more
7 exciting changes. So I hope we'll be able to share with
8 all of you in the next three months, two to three months, a
9 refreshed ZEV dashboard that includes medium- and heavy-
10 duty vehicles.

11 CHAIR HOCHSCHILD: Thank you, Commissioner.
12 Let's go to Commissioner McAllister next.

13 COMMISSIONER MCALLISTER: Okay, well, thanks. I
14 will try to be brief. First, I just wanted to again just
15 say thank you, well to Governor Newsom for having faith in
16 me to continue here in working with all of you and helping
17 California move forward and decarbonize and do it in a way
18 that's equitable and fair and effective. That's just job
19 one, I think for all of us. You know, reliability,
20 decarbonization and, you know, be mindful of costs. I
21 think all of us, all of that, all of us are kind of
22 involved in the same tripartite of goals. And so just
23 really, really happy to have that runway and to be able to
24 think long term about how I want to contribute and what
25 conversations I want to kind of spearhead going forward.

149

1 So a lot of that has to do with building
2 decarbonization and really making sure that we're having
3 the breadth of conversations that we need. Obviously, lots
4 of linkages over to the gas transition and lots of other
5 topic transportation, lots of other topics. I think the
6 building decarb really needs a few stakeholders that
7 haven't been really in masse or completely intentional at
8 the table. And labor being one of those local governments,
9 sort of our community based strategy; I continue to think
10 that we need to do better there. So, so really, just
11 looking forward to having the runway to consider those
12 topics and really develop them.

13 Let's see. So I just last week spent much of the
14 week in D.C. and so for the first D.C. conference in quite
15 a while and being very careful, of course, with the COVID
16 exposure and indoor and masking and making sure everyone
17 there was vaccinated. But it was at the NASEO Energy
18 Policy Outlook Conference, which is a really great
19 opportunity for the states to come together and kind of
20 compare notes on what's happening. And I do try to pull in
21 all of you and other colleagues at the Commission and
22 beyond to the conversations where that's where it's
23 appropriate and helpful. Do a lot of networking and a lot
24 of evangelizing. You know California has a lot to offer, a
25 lot of coordinating across some of the more progressive

1 states Massachusetts, New York. It was just a lot going
2 on.

3 In particular, there's increasing interest in
4 load flexibility, which is very gratifying. I think the
5 lights are kind of coming on. Pun intended, I guess, in
6 terms of -- in terms of that being a resource that has a
7 key role to play going forward in reliability. Codes, lots
8 of interest in our building code and lots of engagement
9 from the DOE brass and sort of senior staff. There was
10 some opportunities to provide input in particular to
11 Congressional staff about some details or some things they
12 might want to consider in some of these larger programs
13 that are still in the mix for whatever version of Build
14 Back Better has the opportunity to move forward, and it
15 looks like it's going to be broken up into more bite size
16 pieces. But there's some existing chunks of that.

17 The Hope for Homes Act, which has been floating
18 around and found a home in Better -- in Build Back Better
19 and now it's sort of maybe on its own again. But that is a
20 building decarb effort that's integrated retrofits, is the
21 idea, and it's really sound. And hopefully we'll find a
22 path.

23 And then there's a Zero Carbon Buildings Act,
24 which is newer but is really focused on targeted
25 electrification. So those two need to find a way to work

1 together and hopefully advance in parallel together. And
2 so the Congressional staff was really looking for state
3 insight on what implementation might look like on both of
4 those bills. So that was actually pretty interesting. And
5 hopefully we'll see some of the results of that input.

6 Really, and now just a few a few thank yous
7 really. So load Management Standards Rulemaking is moving
8 forward. Last week we had the APA hearing went really
9 well. Just kudos to Stephanie Wayland and who's our new
10 lead on Load Management Standards. If you haven't met her,
11 you definitely should. But the whole team Jen Nelson and
12 Gavin Situ, David Cuffee.

13 CHAIR HOCHSCHILD: Hey Commissioner, just on
14 that.

15 COMMISSIONER MCALLISTER: Yeah.

16 CHAIR HOCHSCHILD: What is the time -- what's the
17 schedule again on?

18 COMMISSIONER MCALLISTER: We're hoping to finish
19 the rulemaking by the end of the year, so we got a lot of -
20 - we're getting a lot of really good input and pretty
21 diverse input from stakeholders, the utilities, and CCAs,
22 and some other stakeholders, including at the APA hearing
23 last week. That was kind of a milestone to sort of, you
24 know, go public with the proposal and really get solid
25 feedback on it and we'll be getting written comments in

1 going forward. But hoping to resolve any issues and
2 ironing everything out and get that rulemaking you
3 concluded by the end of the year. Yeah.

4 And also, just Mike Sokol has really been a great
5 sponsor of moving that ahead and Corrine Fishman on the --
6 on the process of the rulemaking itself, sort of the
7 schedule and the process. And then Linda, and Jimmy, and
8 CC's office have been really key, so just wanted to thank
9 them on that.

10 And then on CalSHAPE, there's a really, we have a
11 great team on that as well. And that's the water and
12 energy efficiency sort of HVAC evaluation/upgrades in
13 schools, in disadvantaged communities across the state. So
14 nice workshop earlier this week about that. And Jonathan
15 Fong has been our staff lead on that, but he's got a great
16 team of O'Shea Bennett, David Velasquez, Houston Garnier,
17 Ryan Kastigar have been -- did a great job at that
18 workshop.

19 And then the RED leadership, the Renewables
20 Division leadership, Natalie and Armand as well. And at
21 CCO, Allen Ward and Matthew Pinkerton, just wanted to call
22 out those folks for contributing to what's turning out to
23 be a really impactful program that I think the next phases
24 will be even more so. And just another example of the
25 program design and implementation expertise that the

1 Commission has. That program was rolled out incredibly
2 quickly and effectively and nothing but good feedback from
3 stakeholders at the workshop the other day. So I wanted to
4 make sure to acknowledge that quality effort by staff on
5 that. And I will end my comments there.

6 CHAIR HOCHSCHILD: Thanks a lot. Okay. Let's go
7 to Vice Chair Gunda.

8 VICE CHAIR GUNDA: Thank you, Chair. I think
9 today I just want to start with acknowledging our office
10 today, a little bit since as you all saw, Erik presented
11 today on the DR work that he has been shepherding. Really
12 glad to have Liz Gill back. And you know, we did not
13 mention her name in the reliability work and the IEPR work
14 last year, but she has been instrumental in pulling a lot
15 of that work together. So just what I thank and express my
16 gratitude to the two advisors at our office.

17 And most of you already know this, but you know,
18 for more publicly, you know, we just want to acknowledge
19 and welcome Ben Finkler, who has recently joined our office
20 as Chief of Staff. He is on loan from UC Davis, but
21 really, really glad to have the opportunity to work with
22 him again. In my past professional career, I worked at UC
23 Davis and closely worked with Ben and really wonderful
24 opportunity to really work with him again.

25 I also want to extend my thanks to Le-Quyen for,

154

1 you know the Chair's Chief of Staff, as most of you know.
2 She has also been supporting me for nearly a year as an
3 interim Chief of Staff. I don't know how Le-Quyen does
4 that, but she did it and she was able to keep all of us
5 coordinated, so Le-Quyen, thank you so much for helping us
6 stay coordinated. And she's going to continue to work with
7 our office, given that IEPR 2022 is going to be co-led by
8 me and the Chair.

9 And you know, finally, I want to just mentioned
10 Mina Holloway, who you know, kind of supports our office
11 and keeps us all coordinated. And I know she is now
12 helping Commissioner Monahan's office a little bit. She's
13 paying forward. So I look forward to, you know, I just
14 want to express my gratitude. Mina is a great professional
15 person, and she just has an ability to do, work with such
16 grace. So thank you, Mina, for all your help.

17 Going back to just the policy issues at a very
18 high level, reliability has been a little bit less of a
19 focus than, you know, for any given month. Given that we
20 are in January. We've kind of had a couple of milestones
21 in December and January where we completed the STACK
22 Analysis and kind of had a preliminary view of what 2022 is
23 looking like. So most of the work right now on reliability
24 has been just thinking through how do we update, what
25 cadence to we update the analysis on. But as David Erne

1 pointed out earlier, really about making sure the procured
2 resources are going to come online and how do we problem
3 solve there. So much of the work is happening behind the
4 scenes by STEP staff, [indiscernible] staff in coordination
5 with CPUC, CAISO, DWR, and GO-Biz to ensure that we're
6 moving forward.

7 Spend a little bit of time with CAISO, so I know
8 over the last month or so in a couple of different areas,
9 and Commissioner McAllister and I joined you know, in a
10 kind of a meeting on Extended Day Ahead Market, EDAM
11 Working Group updates. You know, just really good to
12 understand how that is progressing and being able to have a
13 read on the pulse of the developments there. So it's a
14 good thing and we're still observing, trying to understand
15 and providing feedback as best we can.

16 Finally, just going into IEPR 2022, we are -- our
17 office is going to put out a Draft Scoping Order soon for
18 the 2022 IEPR update and we should be doing that within a
19 week. That's our hope, you know, the Scope will come out.
20 But I think I just want to make sure I remind fellow
21 colleagues on the Commission here and the staff so that the
22 IEPR 2022 is going to focus on three elements.

23 One is just developing an equity framework. So
24 it's going to be energy transition and equity. The
25 outcomes, the expected outcomes as developing and adopting

1 an equity framework for the Energy Commission and also the
2 restarting the conversation around the equity indicators.
3 So that's the main thing. And I just want to thank, Noemi
4 and the Public Advisor's Office for their help. And then
5 they are going to put in a lot of time this year helping
6 draft that part of the IEPR.

7 The second thing that, at a high level, is we
8 talked about over the last two to three years, we've been
9 working really hard on comprehensively coordinating all our
10 analytical products that we do and then enhancing them. So
11 we have the forecasts, we have the scenarios now, a couple
12 of reliability products in the Efficiency Division. We
13 also have from the STEP Division, land use tools that
14 they're working on.

15 So what we're hoping to do in IEPR 2022 is begin
16 to consolidate all our analytical products into a
17 California Planning Library, so we as a Commission can
18 adopt them. You know, it could happen as a single library
19 or twice a year, depending on the cadence when products are
20 done. But it's like you just kind of sending that very
21 clear signal of being the backbone analytical entity for
22 the State.

23 And finally, the third section will be, at a very
24 high level, pieces of kind of any, any time sense and
25 timely topics. Some of the topics have been just giving

1 some time in the EIPR on potentially hydrogen or kind of
2 the EDAM regional enhancements that are happening. So
3 we're still thinking through and then we'll get some public
4 comment and what those topics should be.

5 So the second part I wanted to acknowledge on the
6 IEPR this year, as I mentioned in our discussion on IEPR
7 2021 item earlier today, that this is going to be a really
8 an opportunity for us to move the IEPR more into a summary
9 document. And we're going to signal but direction, but
10 then again, to Commissioner McAllister's point, we do not
11 want to lose that vigor and the opportunity to advance
12 these documents that are helpful. So in order to do both
13 of them, we would have the IEPR, which would be a summary,
14 but it will be leaning on a number of other proceedings.

15 For example, Commissioner McAllister right now
16 has a number of different proceedings that broadly are
17 under building decarb. Similarly, Commissioner Monahan has
18 on transportation. So what we want to do is have these
19 standalone OIIs or Instituting Investigations where staff
20 can do multi-year work and it's not rushed in a given IEPR.
21 But at the end of the year, we can have a clear milestone
22 of a document and that could be summarized in a IEPR.

23 So with that, we are going to put it in front of
24 the Commission. OIIs, we're kicking off two separate
25 dockets. One will be on the gas evolution or gas planning,

1 gas transition; that's going to be one element. And the
2 second element is going to be around the DR/Reliability.
3 So those are the two that we're going to launch so we can
4 have multi-year goals. The DR will obviously subsume some
5 of the DR work we are doing, so we can have multi-years of
6 progress there and then continue to integrate them in the
7 IEPR as a Commission, together. So that's our hope.

8 So with that, again, grateful to the staff for
9 all the work. I am hoping to come to full throttle. I
10 think the vacation is still on me. I haven't really come
11 back to full form yet. So hoping to come to my 100 mile an
12 hour days. So, with that, our pass it to our Chair.

13 CHAIR HOCHSCHILD: Great. Thank you so much.
14 Vice chair and second you thanks especially to Le-Quyen
15 Nguyen, who's been phenomenal in her efforts to keep
16 everything moving and coordinated on so many levels. I
17 also wanted to just begin with thanks to Natalie Lee, who
18 is stepping down as the Deputy in Charge of the Renewable
19 Energy Division but will be staying on for some time to
20 assist Commissioner Douglas on Lithium Valley and other
21 issues. Natalie has been just a tremendous asset to the
22 Energy Commission. And when I was Lead Commissioner for
23 Renewables, she was Deputy. In fact, she said, you know,
24 you've got to go out for lunch with this guy, Siva Gunda, a
25 few years ago. That was really how we got connected and

1 look who's Vice Chair of the Energy Commission. So I just
2 want to say thank you, Natalie, for your service, not just
3 to the Energy Commission, but to CARB before that for
4 standing up so many of our new initiatives from REAP to
5 BUILD and just getting things organized in so many ways.
6 Very grateful.

7 A couple updates I wanted to share. Commissioner
8 McAllister and I did a visit to Lawrence Berkeley National
9 Labs, which is terrific, spent a full half day there, going
10 through a whole host of issues with those guys and really,
11 really fruitful discussions. I also just want to share the
12 work with Lithium Valley is taking off like a rocket right
13 now. It's super exciting. There's a ton of engagement, a
14 ton of new investment coming. Commissioner Douglas is on
15 her way down there today. I went two weeks ago. I'll be
16 going back and just an incredible amount of attention that
17 it's getting from Washington, D.C. from the media and
18 really favorable movement. I met with the CEO of Berkshire
19 Hathaway last week who was in town talking about their
20 investment there and just a lot of -- a lot of positive
21 signs pointing towards a robust future for that whole
22 effort to build out the lithium ecosystem, so thanks to all
23 the staff were involved at all levels at the Energy
24 Commission in supporting that.

25 I did want to give one update to my colleagues,

160

1 that Vice Chair Gunda is up to speed on already, but
2 Vistra, which is the company doing energy storage at Moss
3 Landing. You may recall that's the largest energy storage
4 facility in the world. They had 400 megawatts online and
5 then in October they had an issue. We thought it was a
6 battery issue. Happily, it turned out not to be a battery
7 issue, but it was a fire suppression system that was
8 faulty. It went off and then the batteries got wet. They
9 had an issue. That has happened again, about three days
10 ago. We had a briefing with them yesterday and I'll be
11 going down there to do another site visit to get that
12 sorted out.

13 So this is not a problem with the batteries, but
14 with the fire suppression system. But it's happened two
15 times, so we're concerned enough to do a trip down there
16 and going to be working to ensure those protocols get set
17 the way they need to be. We're deploying a ton of storage
18 and that's the right thing for the State, but this is the
19 kind of thing that we've got to get sorted out. It's
20 definitely in the realm of a of a solvable problem. I
21 think it's actually very good news. This is not a flaw at
22 all with the battery, but it is a concern, nonetheless. So
23 I'm going to be spending some time on that and I will stop
24 there.

25 So let's turn now to Item 13, Executive Directors

1 report.

2 MR. BOHAN: Thank you, Chair. I'm having some
3 system issues, but I've got my phone, so if I go off, I
4 will -- video -- I'll at least have the phone. A couple of
5 quick things. Wanted to thank you, Chair for acknowledging
6 Natalie Lee. Indeed, she's been with us for a number of
7 years and about the last four as the Lead for the Renewable
8 Energy Division. She is thankfully stepping away, but not
9 away from the organization, as you noted. In addition to
10 REAP and BUILD, which she deserves a lot of credit for,
11 standing up. She also led the standing up of CalSHAPE,
12 which is a big one. She was also the Chief Steward of the
13 RPS, Power Source Disclosure, and the ever growing
14 equipment list, panels, inverters, etcetera. And then the
15 wind down of our Prop 39 Program, which is extremely
16 successful, as well as NSHP, both of which delivered really
17 mightily on their goals. So I just want to underscore and
18 add to your thanks.

19 Pandemic is moving us in different directions.
20 The incredible building we all sort of virtually moved in.
21 We now are able to move in, I think, with much more --
22 being much more deliberate about it. So we're having
23 conversations about how to do that. We just kind of are
24 almost completing the telework, collection of telework
25 agreements from folks who do want to telework. But I think

162

1 opportunities are unfolding for us going forward on that.

2 State and federal budget. Just want to mention
3 briefly, I think all of you are aware of what is in the
4 Governor's budget that directly impacts the California
5 Energy Commission. As Patty noted yesterday, she was
6 excellent. She didn't say this, but she was excellent in
7 the committee hearing she attended. And we have on March
8 2nd, the Senate (2) hearing that a number of our staff will
9 be attending. And then on March 9th and 16th, there are
10 two Assembly (3) Committee hearings on all of our different
11 budget items.

12 Finally, on the federal side, the IIJA, the
13 Infrastructure Investment and Jobs Act, or just commonly
14 referred to as President Biden's Infrastructure Bill, we
15 are continuing with the leadership of Jen Martin-Gallardo
16 and Linda Spiegel trying to identify precisely which pots
17 of funding the State of California should go -- should
18 attempt to receive, and then more specifically, the Energy
19 Commission. With that, I will close. Thank you.

20 CHAIR HOCHSCHILD: Thank you, Drew. Let's go to
21 Public Advisor's Report.

22 MS. GALLARDO: So this Noemi Gallardo. I have
23 just quick things to say. First, I'm going out to the
24 Lithium Valley this week and I'm really excited that we're
25 doing so much on the ground. One-to-one engagement with

1 both tribes out there, community based organizations, and
2 other leaders who are in that region.

3 And then also very excited about the IEPR and its
4 grounding in equity. So thank you Vice Chair Gunda, for
5 letting me contribute to that. I really appreciate that.

6 And then finally, I just wanted to give you a
7 heads up that we are gearing up for the Clean Energy Hall
8 of Fame. So we are having the awards ceremony this year,
9 hopefully in person, and we will start the nomination
10 process shortly. I just wanted to get you all excited
11 about that.

12 That's it for my report. Thank you very much.

13 CHAIR HOCHSCHILD: All right, thanks. Let's go
14 to public comment, Item 15.

15 MS. GALLARDO: This is Noemi again. I'm going to
16 give instruction on a public comment. So this is the
17 period for any person wishing to comment on information
18 items or reports of the meeting agenda or any other item.
19 Each person has up to three minutes to comment, and
20 comments are limited to one representative per
21 organization. We may reduce the comment time depending on
22 the number of commenters. Use the phrase hand icon to
23 indicate your interest in making public comment. If you're
24 on the phone, press *9 to raise your hand and *6 to unmute.

25 After you are called on, please state and spell

164

1 your first and last names. State your affiliation if
2 you're representing a tribe, agency, organization, or any
3 other entity. Do not use the speaker phone when talking
4 because we will not be able to hear you clearly.

5 So I will now look to see if there are any hands.
6 I do see there is one hand raised, Clair Warshaw. Your
7 line is open, and you may begin.

8 MS. WARSHAW: Hi. My name is Claire Warshaw; C-
9 L-A-I-R-E, W-A-R-S-H-A-W. I'm a member of the public, no
10 state affiliation. I wrote an email to the appliance staff
11 regarding what I'm about to talk about. It's kind of
12 complicated. I don't know if I'll be able to fit it into
13 the three minutes, but it's related to the 6 million heat
14 pumps that suggested in the IEPR as a goal, which I think
15 is great. Fantastic idea. I've had a heat-pump where I've
16 lived ever since I've moved in, which was late in 1993.
17 And the last one went out. Apparently the air exchanger
18 coils were going bad. Maybe the auxiliary heat was being
19 used too much and that's what this is about.

20 They don't, fortunately, through SMUD on a low-
21 income program, they installed a new heat-pump in 2021 with
22 a smart thermostat, which I had never had a smart
23 thermostat before. And the auxiliary heat is set at a
24 freezing temperature, and I don't think my old system was.
25 And with the new system, though it functions, it's on for a

165

1 lot longer. And I think it's because of that auxiliary
2 heat setting, which might be what you guys are aiming for.
3 The other auxiliary heat is, as resistant to heat, I
4 understand that's not what you want. You want it to
5 operate as a heat-pump, mostly, but it's on a lot longer.

6 So that's why I wrote this email to the Appliance
7 staff because I don't know if this is what is being gold,
8 and what people consider efficiency in terms of the machine
9 efficiency, is what is being spoke about most of all,
10 rather than the task efficiency, which would be cooling or
11 heating the home.

12 Fortunately, in California, the temperate
13 environment's been fantastic for this situation. I am not
14 complaining with the new system. I really needed
15 something, and the air filtration is something that I feel
16 has helped me a lot with my health. But I think that
17 investigating that auxiliary heat setting, what is actually
18 supposed to be with the smart thermostat and having that
19 known might make a difference for how people react to their
20 heat-pump systems.

21 So I guess that's mostly, you know, what I wanted
22 to cover and thank you for letting me speak.

23 Also, maybe I'm considered spam in the email
24 system with the CEC. I don't know how else to ask this.
25 I've asked on social media a lot of different, in a lot of

1 different ways and not gotten a good answer, so.

2 CHAIR HOCHSCHILD: Well, thank you for sharing
3 those. Claire, maybe Noemi can assist and someone from the
4 Appliance shop at CEC could respond to you. Thank you for
5 sharing this.

6 Noemi, do we have any further public comment?

7 MS. GALLARDO: Real quick, Claire, you can feel
8 free to reach me at publicadvisor, one word. Advisor has
9 an o, @energy.ca.gov, or you can reach me on my direct
10 email. And we'd be happy to help you find a subject matter
11 expert who can try to respond.

12 So I am checking again for hands and do not see
13 anyone else chair.

14 CHAIR HOCHSCHILD: All right. Thanks, let's go
15 to the Chief Counsel's Report, Item 16.

16 MS. BARRERA: Good afternoon, Chair and
17 Commissioners. Linda Barrera, and I don't have an update
18 for today. Thank you.

19 CHAIR HOCHSCHILD: All right, we are adjourned.
20 Thanks, everybody.

21 (The Business Meeting adjourned at 3:02 p.m.)

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2022.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2022.



Karen Cutler
Certified Transcriber
AAERT No. CET**D-1424