

DOCKETED

Docket Number:	22-BUSMTG-01
Project Title:	Business Meeting Agendas, Transcripts, Minutes, and Public Comments
TN #:	242945
Document Title:	Transcript of 04-26-2022 Business Meeting
Description:	N/A
Filer:	Liza Lopez
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	5/6/2022 11:08:33 AM
Docketed Date:	5/6/2022

BUSINESS MEETING

BEFORE THE

CALIFORNIA ENERGY COMMISSION

In the Matter of:)
) 22-BUSMTG-01
Business Meeting)
 _____)

TUESDAY, APRIL 26, 2022

10:00 A.M. - 3:30 P.M.

In-person at:
 Warren-Alquist State Energy Building
 1516 Ninth Street
 Art Rosenfeld Hearing Room
 Sacramento, California 95814
 (Wheelchair Accessible)

Option for Remote Public Access via Zoom.

Please note that the CEC aims to begin promptly at the start time and the end time is an estimate based on the agenda proposed. The business meeting may end sooner or later than the time indicated depending on various factors.

Pursuant to California Code of Regulations Title 20 section 1104(e), any person may make oral comment on any agenda item. To ensure the orderly conduct of business, such comments will be limited to three minutes or less per person. Any person wishing to comment on information items or reports (non-voting items) shall speak during the general public comment portion of the meeting and have three minutes or less to address all remaining comments.

Reported by:
E. Hicks

APPEARANCES

Commissioners

David Hochschild, Chair
Siva Gunda, Vice Chair
Andrew McAllister
Patricia Monahan
Kourtney Vaccaro

Staff Present:

Drew Bohan, Executive Director
Linda Barrera, Chief Counsel
Jared Babula, Chief Counsel's Office
Kirk Oliver, Chief Counsel's Office
Dorothy Murimi, Public Advisor's Office
Ben Sinclair, Advisor to Vice Chair Gunda

	Agenda Item
Heather Raitt	2
Elizabeth Huber	3
Geoff Lesh	3
Dian Vorters	3
Shawn Pittard	3
Molly O'Hagan	4, 5
Anthony Ng	4, 5
Rachel Salazar	5
Molly Mahoney	5
Rhetta deMesa	6
Esther Odufuwa	7
Hieu Nguyen	8
Larry Rillera	9

Also Present

Other Presenters

	Agenda Item
Nika Kjensli, CPUC	3
James Cheng, CPUC	3
Peter Allen, Legal Counsel CPUC	3
Kelly McAdoo, City of Hayward	3
Garrett Contreras, Fire Chief, City of Hayward	3

APPEARANCES (Cont.)

Public Comment

	Agenda Item
Jeffery D. Harris, attorney for Calpine Ellison Schneider Harris & Donlan, LLP	3
Mike DelCasale, Senior VP, Calpine Corp.	3
Claire Warshaw, Self	3
Steve Guttman, Self	3
Andy Wilson, CalPilots	3
Varner Seaman, Clean Power Association-CA	6
Mailon Rivera, C4GS, LLC	5
Alan Woo, City of Santa Ana	5
Casey Harris, Jamboree Housing Corp.	5
Cheryl McMurtry, Architectural Nexus, on behalf of Mutual Housing and Fairview Terrace Project	5
Colleen FitzSimons, San Diego Green Building Council	5
Kirsten Berquist, FHCSO	5
Debarshi Das, ConSol	5
Matt Winter, LPA, Inc.	5
Stephan Groce, Self	5
Evelyn Ng, AC Transit	7
Rolando Cruz, Culver City Transportation Dept.	7
Michael Brown, California Grinding Inc.	8
Dennis Balakian, California Grinding Inc.	8

I N D E X

	Page
Proceedings	8
Items	
1. Consent Calendar	11
a. Order Instituting Rulemaking Proceeding (Docket Number 22-AAER-02).	
b. School of Arts and Enterprise.	
c. Proposed Order Delegating Approval of Certain Agreements and Amendments Under Health and Safety Code Section 44272.	
2. Order Instituting Informational Proceeding (OIIP) (22-IEPR-01).	12
3. Russell City Energy Center (RCEC) (01-AFC-07C).	22
4. Electric Program Investment Charge (EPIC) 2021 Annual Report.	100
5. The Next EPIC Challenge: Reimagining Affordable Mixed-Use Development in a Carbon-Constrained Future (GFO-20-305).	123
a. Northern California Land Trust, Inc.	
b. Electric Power Research Institute, Inc.	
c. ConSol.	
d. Mutual Housing California.	
e. Innovative Housing Opportunities, Inc.	

I N D E X (Cont.)

	Page
5. The Next EPIC Challenge: Reimagining Affordable Mixed-Use Development in a Carbon-Constrained Future (GFO-20-305). (Cont.)	123
f. Jamboree Housing Corporation.	
g. National Community Renaissance.	
h. Communities for Global Sustainability - C4GS LLC.	
i. Family Health Centers of San Diego, Inc.	
6. California State Lands Commission.	87
7. Zero-Emission Transit Fleet Infrastructure Deployment (GFO-20-602).	154
a. City of Culver City.	
b. Alameda-Contra Costa Transit District.	
8. Ultra-Low-Carbon Fuel: Commercial-Scale Production Facilities and Blending Infrastructure (GFO-20-608).	165
a. California Grinding, Inc. (CGI)	
i. CEQA Findings.	
ii. Fresno Anaerobic Digestion Facility.	
b. SoCal Biomethane, LLC.	
c. AltAir Paramount, LLC. (AltAir).	
i. CEQA Findings.	
ii. AltAir's Blending Terminal Project.	

I N D E X (Cont.)

	Page
9. IDEAL ZEV Workforce Pilot (GFO-21-602).	178
a. IDEAL ZEV Workforce Pilot (GFO-21-602).	
b. IDEAL ZEV Workforce Pilot (GFO-21-602).	
10. Minutes	183
11. Lead Commissioner or Presiding Member Reports	184
12. Executive Director's Report.	204
13. Public Advisor's Report	205
14. Public Comment	49, 92, 137, 161, 171
15. Chief Counsel's Report	206

Pursuant to Government Code Section 11126(e), the CEC may adjourn to closed session with its legal counsel to discuss any of the following matters to which the CEC is a party:

- i. *In the Matter of U.S. Department of Energy (High Level Waste Repository) (Atomic Safety Licensing Board, CAB-04, 63-001-HLW); State of California v. United States Department of Energy (9th Cir. Docket No. 09-71014)*
- ii. *Interlink Products International, Inc. v. Xavier Becerra, Drew Bohan, Melissa Rae King (United States District Court for the Eastern District of California, Case No. 2:20-cv-02283)*

	Page
<p>15. Chief Counsel's Report (Cont.)</p> <p style="margin-left: 40px;">Pursuant to Government Code, section 11126, subdivisions (a) and (e), the CEC may also discuss any judicial or administrative proceeding that was formally initiated after this agenda was published; or determine whether facts and circumstances exist that warrant the initiation of litigation, or constitute a significant exposure to litigation against the CEC, which might include personnel matters.</p> <p style="margin-left: 40px;">i. <i>CEC grant with the Vehicle-Grid-Integration Alliance, Inc. (ARV-13-057).</i></p> <p style="margin-left: 40px;">ii. <i>CEC grants with the Zero Net Energy Alliance, Inc. (EPC-16-034, EPC-16-065, & EPC-18-011).</i></p> <p style="margin-left: 40px;">Pursuant to Government Code section 11126(c)(3), the CEC may hold a closed session to deliberate on a decision to be reached in a proceeding required to be conducted pursuant to Chapter 5 (commencing with Section 11500) or similar provisions of law:</p> <p style="margin-left: 40px;">i. <i>In the matter of Pecho Energy Storage Center (Docket No. 21-AFC-01).</i></p> <p style="margin-left: 40px;">ii. <i>In the matter of Gem Energy Storage Center (Docket No. 21-AFC-02)</i></p>	<p>206</p>
<p>Adjournment</p>	<p>206</p>
<p>Reporter's Certificate</p>	<p>207</p>
<p>Transcriber's Certificate</p>	<p>208</p>

1 P R O C E E D I N G S

2 APRIL 26, 2022

10:03 a.m.

3 (Start of Introductory Video.)

4 MS. MURIMI: Welcome to the California Energy
5 Commission's Business Meeting.

6 Zoom's closed captioning feature has been enabled
7 to make Energy Commission business meetings more
8 accessible. Attendees can use this feature by clicking on
9 the "Live Transcript" icon, and then selecting either "Show
10 Subtitle" or "View Full Transcript." Closed captioning can
11 be stopped by closing out of the live transcript or
12 selecting "Hide Subtitle." Those participating solely by
13 phone do not have the option for closed captioning.

14 The Energy Commission will continue to post a
15 recording of this Business Meeting on the Business Meeting
16 webpage, in addition to posting a transcript of this
17 Business Meeting rendered by a professional court reporter
18 in the docket system on the Business Meeting webpage.

19 To increase access to the California Energy
20 Commission's proceedings, this meeting is being held in-
21 person and is also available for remote participation. The
22 public can participate in the Business Meeting consistent
23 with the instructions for remote participation found in the
24 notice for this meeting, and as set forth on the agenda
25 posted to the Energy Commission's website.

1 Pursuant to California Code of Regulations Title
2 20 section 1104(e) any person may make oral comments on any
3 agenda item.

4 Once the public comment period begins to indicate
5 you would like to give a comment in person, please use the
6 QR codes shown in the room and fill out the form.

7 For remote participants, please raise your hand
8 by clicking on the "Raise Hand" icon at the bottom of your
9 screen. If you are joining by phone press *9 to raise your
10 hand and *6 to unmute.

11 To ensure the orderly and fair conduct of
12 business, public comments will be limited to three minutes
13 or less per person for each agenda item voted on today.
14 Any person wishing to comment on the information items or
15 reports, which are non-voting items, shall reserve their
16 comments for the general public comment portion of the
17 meeting. And shall have a total of three minutes or less
18 to state all remaining comments.

19 After the Public Advisor calls on you to speak,
20 spell your name, and state your affiliation if any.

21 Welcome to the California Energy Commission's
22 Business Meeting. The meeting will now begin.

23 (End of Introductory Video.)

24 CHAIR HOCHSCHILD: Well, welcome back. It has
25 been over two years since we've been in this room together,

1 and it is nice to be back. I want to thank everyone for
2 setting up this first in-person meeting. We are still
3 awaiting some final AV upgrades in the new building and
4 will be eventually holding our Commission meetings over
5 there across the street, really excited for that facility.
6 But in the interim, we'll continue to meet here, so it's
7 good to be back in person. And thank you everybody who
8 showed up here in the room, it's nice to see. So it's in-
9 person again.

10 So today is Tuesday, April 26th. Joining me are
11 Vice Chair Gunda, Commissioner McCallister, Commissioner
12 Monahan, Commissioner Vaccaro. And we are going to begin,
13 if we could, with the -- did I say Commissioner McCallister
14 -- so we have a full quorum today and it will begin with
15 the Pledge of Allegiance led by Commissioner McCallister.

16 (Whereupon the Pledge of Allegiance was recited.)

17 CHAIR HOCHSCHILD: Thank you, Commissioner.

18 And before we get to our voting items today a few
19 announcements to make. As I mentioned our first in-person
20 meeting in over two years. I do want, if you're
21 comfortable, just greeting the person next to you with a
22 handshake or a fist bump or an elbow bump; please feel free
23 to do that. It's good to be back together and we want to
24 welcome you all.

25 So we are going to be considering grants, the

1 total of about \$26 million today, which again will be
2 supporting our state's economic recovery.

3 And with that we'll move on to the Consent
4 Calendar. Do we have any public comment on Item 1 the
5 Consent Calendar?

6 MS. MURIMI: I'm going to read some instructions.
7 So for individuals that are in the room if you'd like to
8 make a public comment, to the back of the room you will see
9 QR codes on the wall. And also the Public Advisor, members
10 of the team of the Public Advisor's Office are there with
11 blue cards as well if you'd like to use those.

12 For individuals that are on Zoom, go ahead and
13 use the raised-hand feature. It looks like a high-five at
14 the bottom of your screen or device. And if you're calling
15 in by phone press *9 to raise your hand.

16 Going to give that one moment. I'm seeing no
17 comments, Chair, back to you.

18 CHAIR HOCHSCHILD: Okay, thank you.

19 Just before we move to items, I wanted to just
20 introduce Ben Sinclair in the back if you want to just
21 stand up since we're in-person. For folks that don't know
22 Ben is the new Advisor to Vice Chair Gunda, so for folks
23 now we can put a face to the name. Are there any other
24 advisors who have not been introduced in-person in the
25 room? Okay. But anyway welcome, Ben. It's great to have

11

1 you at the CEC.

2 So is there any Commissioner discussion on the
3 Consent Calendar? Hearing none, Commissioner Vaccaro,
4 would you be willing to move Item 1?

5 COMMISSIONER VACCARO: Yes, I move this item.

6 CHAIR HOCHSCHILD: Okay. Commissioner
7 McAllister?

8 COMMISSIONER MCALLISTER: Second.

9 CHAIR HOCHSCHILD: All in favor say aye.

10 (Chorus of ayes.)

11 CHAIR HOCHSCHILD: All right, so wait I guess
12 we'll just go through roll call, sorry.

13 Commissioner Vaccaro?

14 COMMISSIONER VACCARO: Aye.

15 CHAIR HOCHSCHILD: Commissioner McAllister?

16 COMMISSIONER MCALLISTER: Aye.

17 CHAIR HOCHSCHILD: Vice Chair Gunda?

18 VICE CHAIR GUNDA: Aye.

19 CHAIR HOCHSCHILD: And Commissioner Monahan?

20 COMMISSIONER MONAHAN: Aye.

21 CHAIR HOCHSCHILD: Oh we're going to, I think,
22 continue to do that as a huge number of people are online
23 still, so we can hear our individual votes. And I vote aye
24 as well. That item passes unanimously.

25 Let's turn now to Item 2, Order Instituting

1 Informational Proceeding. Heather Raitt, thank you.

2 MS. RAITT: Good morning, I'm Heather Raitt. Can
3 you hear this okay? Great. I'm Heather Raitt, Assistant
4 Executive Director for Policy Development. Staff is asking
5 for the Commission's approval of an order instituting
6 informational proceeding to gather and assess information
7 needed to develop the 2022 Integrated Energy Policy Report
8 Update, which I will refer to as the 2022 IEPR Update.
9 Next slide, please.

10 The Commission is required to prepare an IEPR
11 every two years that provides an overview of major energy
12 issues and trends facing California, with an update on the
13 intervening year. Adoption of this order will allow the
14 designated Commissioners to hold hearings and workshops and
15 to collect information that is needed to complete the 2022
16 IEPR Update, but is not identified in the Commission's data
17 collection regulations. Next slide, please.

18 Vice Chair Gunda is the Lead Commissioner for
19 this year's proceeding. He issued the scoping order for
20 the report on Friday April 22, identifying the topics and
21 general schedule for the 2022 IEPR Update. This year's
22 proceeding has three tracks.

23 The first track and focus of the year is
24 establishing a framework to center equity and environmental
25 justice throughout CEC efforts. The framework will help

1 the CEC continue to contribute to remove barriers and
2 increase opportunities for all Californians to live with
3 dignity and to achieve prosperity. The framework will be
4 accompanied by an assessment mechanism and action plan to
5 help ensure that the CEC's work is being completed with an
6 equity and environmental justice lens.

7 We also plan to revisit the Energy Equity
8 Indicators tool developed as part of the SB 350 Barriers
9 Study to see if it should be updated, reimaged, or kept
10 the same.

11 The second track is creating a California
12 Planning Library. The aim of is to centrally locate and
13 make readily accessible the various energy planning tools
14 developed by the Energy Commission and that are widely used
15 by stakeholders.

16 Finally, the third track is addressing emerging
17 topics to provide situational awareness and address policy
18 questions of interest. Examples include the role of
19 hydrogen in California's clean energy future and evolving
20 regional energy markets. Next slide, please.

21 Under Vice Chair Gunda's leadership the IEPR is
22 taking a fresh approach this year in response to comments
23 from the public and sister agencies. There is a preference
24 for the report to be more concise and serve as a summary
25 document. At the same time, other state energy agencies

1 have expressed a need for analysis referenced in IEPRs to
2 serve as a thorough record that they can reference and to
3 avoid duplicative work.

4 Further, there are often important issues that
5 need attention and analysis that may not fit into the
6 typical timeframe of a single IEPR cycle.

7 Because of these needs earlier this year the CEC
8 launched additional Order Instituting Informational
9 Proceedings on decarbonizing the gas system and on
10 distributed energy resources. This will enable deep
11 analyses that extends beyond the annual reporting period of
12 the IEPR.

13 The 2022 IEPR Update will incorporate and report
14 on developments from those proceedings and those parallel
15 proceedings will continue and may be used to inform future
16 IEPRs.

17 Summarizing the findings of such ongoing and in-
18 depth proceedings that last beyond a single IEPR cycle is
19 intended to be the model for IEPRs going forward. Next
20 slide.

21 So to recap I'd like to request your approval of
22 this order instituting informational proceeding for the
23 2022 IEPR Update. And Kristen Driskell from Legal Office
24 is available to help answer any questions. Thank you for
25 your consideration, and that concludes my presentation.

1 CHAIR HOCHSCHILD: Thank you, Heather.

2 Any public comment on Item 2?

3 MS. MURIMI: Again, individuals who are on Zoom
4 go ahead and use the raised-hand feature. It looks like an
5 open palm or a high-five, and it is at the bottom of your
6 screen or device. Individuals calling in press *9 to
7 indicate you'd like to make a comment and individuals in
8 the room can see the Public Advisor.

9 Seeing no hands on Zoom or in the back, back to
10 you Chair.

11 CHAIR HOCHSCHILD: Okay. Thank you, Dorothy.

12 Let's turn to Commissioner discussion starting
13 with Vice Chair Gunda.

14 VICE CHAIR GUNDA: Thank you, Chair. It's really
15 nice to see everybody in person, a lot of hugs this
16 morning. Hopefully that was safe.

17 So I just wanted to take a moment to thank
18 Heather and her team for continuing the leadership on IEPR.
19 As Heather kind of mentioned there is a couple of key
20 elements that we're trying to socialize and move forward
21 with in IEPRs. So the first one, obviously, is to try to
22 figure out a way to make the IEPRs more of a summary
23 document. Thanks for all the comments from the
24 stakeholders last year, the IEPR was about 600 pages and
25 it's not easy to go through every page of that. So

1 hopefully this model will sustain a more policy-focused
2 discussion, moving forward on key elements.

3 The second thing is just kind of thinking through
4 how to integrate the parallel proceedings. So we have the
5 gas transition as well as the DERs, but we also have the
6 reliability proceeding that we started, SB 100. So there's
7 a number of different proceedings that are happening right
8 now that can help support as a summary into the IEPR. So
9 we'll continue to learn and evolve that.

10 But most of all I want to thank -- I don't know
11 if I see Noemi here, but the Public Advisor's Office, for
12 really helping make equity and environmental justice a
13 centerpiece for the IEPR this year. We have been doing
14 really good work at the Energy Commission, but there's
15 always more to do. So having taken the time to really
16 think through what a framework would look like that could
17 help make our efforts more coalesced around broader goals
18 of California and the state at large would be really
19 helpful. So I'm really excited to continue that
20 conversation.

21 I'm also really looking forward to this idea of
22 the planning library. We have a workshop coming up this
23 week, so really thinking through how can we take all the
24 different planning assessments that CEC does and put them
25 in a structure that allows for broad access, but also gives

1 better information to our sister agencies on other
2 assessments that we do that can be used for their planning.

3 So really looking forward to it, and all my
4 Commissioners, to work with them this year. So with that
5 back to you, Chair.

6 CHAIR HOCHSCILD: Thank you.

7 Any other Commissioner discussion? Yeah,
8 Commissioner Vaccaro.

9 COMMISSIONER VACCARO: Thank you. So first of
10 all thank you, Heather, for the presentation. And Vice
11 Chair Gunda I have to say I am excited about this IEPR.
12 I've always been interested in the IEPRs, but I'm excited
13 because it reflects a responsiveness to feedback.

14 The accessibility of information is so important,
15 especially as we're talking about communities that we're
16 trying to reach throughout California. I think the plan
17 that you've rolled out for us to have IEPR workshops
18 throughout California is something so unique and novel.
19 We've had workshops throughout California, but we haven't
20 brought the IEPR around California in this way. And I've
21 seen the invites on my calendar, I'll be joining you for
22 some of this.

23 And just really pleased too, that we're going to
24 be taking like a more cohesive approach to all of the
25 efforts. We have a lot of threads right now at the Energy

1 Commission. We've long been prioritizing equity and
2 (indiscernible) under-resourced communities, but this is
3 really going to bring it all together. And I think the
4 planning library is going to be a really effective tool.
5 So I'm truly excited to join you on the tours and to do
6 whatever my office can and whatever I can to support this
7 effort.

8 CHAIR HOCHSCHILD: I really appreciate those
9 comments, Commissioner. It is actually an important
10 milestone to take the IEPR on the road.

11 Yeah, Commissioner McAllister.

12 COMMISSIONER MCALLISTER: Yeah, just I wanted to
13 sort of briefly highlight a couple of reasons why I just
14 want to congratulate Heather, thank Heather. And
15 congratulate Vice Chair Gunda for sort of reimagining the
16 IEPR a little bit. And I think two things really. These
17 multiple themes are sort of the equity focus, but having
18 multiple themes that have multiyear relevance I think is
19 really setting up these OIRs (phonetic) that can outlive an
20 individual, one-year IEPR, and sort of continue on and
21 create that continuity.

22 The IEPR was every other year and then it kind of
23 morphed into basically every year, the forecast still every
24 other year. But basically kind of there was a certain
25 amount of reinventing the wheel that sort of was forced to

19

1 happen with each IEPR cycle. And so I think sort of
2 avoiding those inefficiencies and making sure there's some
3 continuity for these key themes going forward, whether it's
4 various aspects of our decarbonization journey, equity, or
5 other aspects that really are with us for the long term, I
6 think, having this new structure. And sort of reimagining
7 that is a really, really welcome innovation and necessary
8 innovation, so thank you for that.

9 COMMISSIONER MONAHAN: I'm just going to do a
10 hear-hear. Also I had a question for you, which is can you
11 elaborate a little on the planning library and what you're
12 envisioning that will look like?

13 VICE CHAIR GUNDA: Yeah, absolutely. I mean it's
14 so strange to talk here without the Zoom call. I'm like,
15 "How do I focus my attention?" So this is great, so I
16 think it's going to take a little bit of time to adjust.

17 Thank you, Commissioner. I think the planning
18 library would be, first of all, looking at all the things
19 we are set up to do like the forecasts and all, so having
20 possibly an inventory of things that we do by mandate that
21 are required for our sister agencies. But also those
22 products we are developing, which could be helpful for
23 planning.

24 For example, we just did the demand scenarios.
25 And the demand scenario is not officially adopted by the

1 CEC to then be able to use in a DRP, like distribution-type
2 planning or the IRP planning. So what we would want to do
3 is figure out a way to funnel them into this library
4 structure and then which ones do we want to adopt and in
5 what cadence, so that they become an important element. So
6 we have a preliminary framework set up for that and the
7 staff are going to present in two days from now on how do
8 we gather information, how do we structure, which ones we
9 adopt, which ones we don't, and what is the cadence of that
10 of that.

11 CHAIR HOCHSCHILD: Unless there's other
12 discussion, I'd welcome a motion from Vice Chair Gunda on
13 Item 2.

14 VICE CHAIR GUNDA: Yes, I'll move Item 2.

15 CHAIR HOCHSCHILD: Commissioner Monahan, would
16 you be willing to second?

17 COMMISSIONER MONAHAN: I second.

18 CHAIR HOCHSCHILD: All in favor say aye.

19 Vice Chair Gunda?

20 VICE CHAIR GUNDA: Aye.

21 CHAIR HOCHSCHILD: Commissioner Monahan?

22 COMMISSIONER MONAHAN: Aye.

23 CHAIR HOCHSCHILD: Commissioner McAllister?

24 COMMISSIONER MCALLISTER: Aye.

25 CHAIR HOCHSCHILD: Commissioner Vaccaro?

1 COMMISSIONER VACCARO: Aye.

2 CHAIR HOCHSCHILD: And I vote aye as well. That
3 item passes unanimously.

4 Let's turn now to Item 3, Russell City Energy
5 Center. Welcome Elizabeth Huber. (No audio.)

6 COURT REPORTER: Sorry, this is the court
7 reporter. I'm not hearing anything.

8 CHAIR HOCHSCHILD: Is your mic on, Elizabeth?
9 (Pause for audio issues.)

10 MS. HUBER: Oh, my apologies.

11 Good morning, Chair, Vice Chair, and
12 Commissioners. My name is Elizabeth Huber and I manage the
13 Safety and Reliability Office in the Siting, Transmission
14 and Environmental Protection Division. With me this
15 morning to present on this item is Geoff Lesh, CEC's Energy
16 Office Manager. And Kelly McAdoo, City Manager for the
17 City of Hayward. And Hayward Fire Chief Garrett Contreras.
18 We also have from the Chief Counsel's Office, Jared Babula
19 and Kirk Oliver.

20 And from the California Public Utilities
21 Commission's Energy Safety and Reliability Branch, Manager
22 Nika Kjensli; and their Lead Engineer, Jim Cheng. And
23 their Legal Counsel, Peter Allen, as well as a contingency
24 from Calpine Corporation. Next slide, please.

25 We are here to present the CEC and CPUC staff

1 investigation and gap audit, our determination of the root
2 cause, and the corrective actions to address the factors to
3 the Russel City Energy Center's explosion and onsite fire
4 as described in the CEC staff report, "Russell City Energy
5 Center May 2021 Incident: Root Cause Gap Analysis."

6 We are also here in response to an Order of the
7 Commission at the July 15, 2021, Business Meeting requiring
8 the Russell City Energy Center staff to meet with CEC staff
9 and the Hayward City Fire Department to discuss any needed
10 modifications to their standard operating procedures for
11 first responders to implement when responding to an onsite
12 incident, including establishing a process for reasonable
13 expenses.

14 The order also found that the power plant will
15 only return to combined cycle operations when repairs and
16 testing is completed.

17 The CEC staff is committed to public safety and
18 this gap analysis is an initial review. The CEC staff will
19 follow the facts to identify any compliance failures and
20 will consider additional corrective actions and/or changes
21 to Conditions of Certification as appropriate.

22 The CEC staff is also aware from the CEC's Summer
23 Stack Analysis Update, which provides near-term situational
24 awareness on the potential impacts of a west-wide extreme
25 weather event and prolonged drought to the critical months

1 of July through September 2022. This analysis projects a
2 potential need for contingency resources of up to 2,400
3 megawatts. These resources may be required to ensure
4 electric system reliability for peak and net-peak hours
5 during the summer of 2022. Next slide, please.

6 The Russell City Energy Center is a 600-megawatt
7 natural gas-fired, wet-cooled, combined cycle electric
8 generating facility. There are many different
9 configurations for combined cycle power plants, but
10 typically each combustion turbine has its own associated
11 Heat Recovery Steam Generator, also referred to as a HRSG,
12 and those HRSGs supply steam to one steam turbine. Russell
13 City Energy Center is a power plant designed in a 2x1
14 configuration: two combustion turbines each, with their
15 respective HRSGs supplying steam to the one steam turbine.
16 This design also allows the facility to operate in a 1v1
17 configuration, (phonetic) meaning one combustion turbine
18 and the respective HRSG is providing steam to the steam
19 turbine generator.

20 On the evening of May 25th, 2021, Pacific Gas and
21 Electric, PG&E, made a request to Russell City Energy
22 Center to operate in a 1v1 configuration. Then two days
23 later on the evening of May 27, 2021, PG&E called and
24 instructed the power plant to be offline by midnight.
25 During Russell City Energy Center's night shift's normal

1 shutdown procedures for taking the power plant offline, an
2 incident in the steam turbine generator occurred causing an
3 onsite explosion and fire.

4 The mechanical failure of the steam turbine
5 generator resulted in an explosion that threw dozens of
6 metal pieces off the project site and resulted in an onsite
7 fire requiring fire department responses by the cities of
8 Hayward and Fremont, and Alameda County. The steam turbine
9 generator was severely damaged. Fortunately, there were no
10 injuries and the lube oil mixed with the fire suppression
11 water was contained, and no adverse impacts to nearby
12 waterways.

13 The Project Owner, Russell City Energy Center,
14 LLC, a subsidiary of Calpine Corporation, retained
15 Structural Integrity Associates, SIA, an independent
16 consultant to perform a root cause analysis of the
17 incident.

18 On behalf of the State of California the field
19 inspection units from both the CEC and the California
20 Public Utilities Commission, CPUC, established a Joint
21 State Agency Investigation team to also investigate the
22 root cause. The joint investigation team conducted an
23 examination and review of the power plant and associated
24 documents, inspected the offsite facilities damaged by the
25 debris, independently assessed the findings from the root

1 cause analysis, and investigated gaps they identified in
2 SIA's report. Next slide, please.

3 This slide shows the inside mechanics of a steam
4 turbine generator including its key components, beginning
5 to the left of the diagram with the generator, then the
6 low-pressure shaft connecting the generator to the low-
7 pressure steam section, which is connected to the low-
8 pressure steam turbine, then to the intermediate pressure
9 shaft connecting to the steam turbine and steam control
10 valves, which connect to the high-pressure steam turbine,
11 which is on the far right of your diagram.

12 The joint investigation team initiated its
13 investigation with an onsite inspection on June 7, 2021.
14 The joint investigation team started at the steam turbine
15 generator structure deck and observed that the thrust
16 bearings for the steam turbine generator were exposed, and
17 lube oil released.

18 The steam turbine generator shaft was fractured
19 at the exit point of the intermediate pressure section to
20 the low-pressure section, and the shaft was ejected from
21 the steam turbine. The joint investigation team examined
22 the turbine shaft that entered the low-pressure section and
23 found that the shaft was twisted. The metal casing of the
24 low-pressure section had separated, breaking bolts in the
25 process.

1 The black charring and soot in the area around
2 the casing were clear evidence that there was a fire at the
3 exit of the low-pressure section to the steam turbine's
4 generator. The drive shaft connecting the low-pressure
5 section to the steam turbine generator was fractured at
6 each end and had been thrown from the enclosure.

7 The various equipment on the steam turbine
8 generator structure deck also had extensive fire damage.
9 The lube oil feed and return lines were severed. Thus, the
10 power plant was unable to shut down the lube oil system.
11 Due to the immediate response by the Hayward Fire
12 Department on the night of the incident the lube oil was
13 contained to a retention pond and a third-party biologist
14 later confirmed no lube oil made it off the site. Next
15 slide, please.

16 The visual on this slide maps out the steam
17 turbine debris field. If you point your attention to the
18 intersection of the two ovals you will notice a red "X"
19 notating the location of Russell City Energy Center's steam
20 turbine generator. To the left of the red "X" is the
21 location of the Hayward Water Pollution Control Facility
22 and to the top right is the location of the Hayward
23 Navigation Center Complex.

24 The joint investigation team and the Hayward Fire
25 Department staff were back onsite August 3rd to examine the

1 locations where metal pieces from the steam turbine
2 generator had landed offsite. This took the joint
3 investigation team to the Hayward Water Pollution Control
4 Facility and the Hayward Navigation Center to investigate
5 where metal pieces from the steam turbine generator had
6 landed.

7 At the Hayward Water Pollution Control Facility
8 the joint investigation team met with the plant manager to
9 examine metal pieces thrown onto the site and to inspect
10 any damage. Some large metal pieces of varying weights up
11 to 50 pounds were found in the facility's drying beds
12 southwest of the power plant. The pieces consisted of
13 turbine blade parts and a large part of the turbine casing.
14 Some smaller metal pieces were found within the facility to
15 the east. No injuries were reported and there was no
16 structural damage.

17 The joint investigation team then inspected the
18 Hayward Navigation Center Complex and met with the Housing
19 Care Coordinator. The outlier of the debris field is a 12-
20 pound piece of the low-pressure turbine blade root. The
21 blade root was discovered in the complex, which has
22 multiple trailers onsite serving people experiencing
23 homelessness. The trailer used for meal preparation and
24 eating was damaged when the 12-pound metal piece of the
25 steam turbine generator traveled 1,200 feet penetrating

1 through the trailer's roof and landing on the floor. No
2 individuals were in the trailer at the time since it was
3 after operating hours.

4 These locations of the metal pieces are
5 consistent with having been thrown from a rotating shaft.
6 Next slide, please.

7 SIA's root cause analysis was released to the CEC
8 staff on November 24th, 2021. Their root cause analysis
9 concluded that there was only one cause for the incident
10 stating that "The systems' inability to detect and drain
11 excess water under pressure and at high temperatures within
12 the reheater system is the root cause of the steam turbine
13 generator drivetrain event at Russell City Energy Center."
14 Though the joint investigation team concurs with this
15 finding, the team found that SIA's root cause analysis was
16 limited in the scope of its analysis and restoration
17 recommendations. Both the CPUC and the CEC concluded that
18 further investigation to capture the causal factors more
19 broadly to the incident was needed.

20 The joint investigation team focused its site
21 inspections not only on the power plant components involved
22 in the incident, which include the steam turbine generator
23 and the electrical generator and its associated HRSG, but
24 also examined facility operations, maintenance, and
25 management practices that may have contributed to the

1 causation of this incident.

2 The joint investigation team determined that
3 there were three causal factors to the incident. Those
4 factors included: deficiencies in the equipment maintenance
5 and monitoring program for some critical equipment,
6 deficiencies in control room operator interface and
7 training, and inadequate protection from water induction.

8 At this point I would like to welcome to the
9 podium, my colleague and new best friend, Geoff Lesh, to
10 talk us through the incident as it occurred.

11 MR. LESH: Thanks, Elizabeth.

12 For the record, my name is Geoff Lesh. And I am
13 the Manager over the Engineering Office within the Siting,
14 Transmission and Environmental Protection Division.

15 Before the incident, the plant had been running
16 for some time on a two-on-one configuration, and then
17 subsequently changed to a one-on-one configuration with
18 Combustion Turbine 2 and its associated HRSG in operation.

19 This figure I have up here shows a very limited
20 scope. It's a focus schematic showing the areas of the
21 HRSG that we think are most relevant to this incident. It
22 shows towards the left here you see the two valves and the
23 two HRSGs. And then towards the right there are a couple
24 of check valves, and we'll talk more about those as I go
25 forward. But the relevance here is that these two HRSGs

1 had both been in operation. As they switched from two-on-
2 one to one-on-one operation. HRSG Number 1 shut down,
3 along with this combustion turbine and then started to cool
4 off while HRSG Number 2 continued in operation. Those, as
5 they were at that particular time in their configuration,
6 HRSG 2 was in full operation, HRSG 2 (sic) was off and not
7 operating as well as Combustion Turbine 1.

8 So on that night as they were shutting down, and
9 had been requested to shut down, the first problem that
10 occurred was that when they started this one-on-one
11 configuration, two days prior to the incident, the valve in
12 the upper left of this diagram with the "X" on it that was
13 supposed to be closed had experienced a steam leak over the
14 prior two days. Which allowed a flow of high-pressure
15 steam into the offline HRSG's reheater section.

16 As a result of the ongoing steam leak into the
17 offline, and much cooler HRSG 1 over two days, a large
18 volume of water condensed within its steam piping. And
19 that's referenced here by the upper figure of the rectangle
20 with the water-lock in the loops. There are devices there
21 that look like spigots. Those are our drains. I guess
22 that's enough on that.

23 The second problem that occurred is as this water
24 built up, the power plant operators did not detect the
25 high-pressure hot water collecting within the offline HRSG.

1 Because the system had been running and the steam leaking
2 into the system was very hot and under pressure, the water
3 they collected there remained under pressure and at high
4 temperature. The HRSG 2 was somewhat like a pressure
5 cooker. It was stagnant and not boiling, but it was under
6 high pressure and high temperature.

7 The third problem that occurred was the manual
8 check reheat valve, shown to the right of those HRSGs,
9 between the offline HRSG and the steam turbine was not put
10 into a block mode configuration at the time. So it was
11 functioning as a check valve which allowed steam to pass in
12 one direction. In this figure it would be from left to
13 right and would allow passage of steam or water towards the
14 turbine, but not the other way.

15 So during this plant shutdown on the night of May
16 27th, 2021, the steam pressure being provided to the steam
17 turbine by HRSG 2 dropped below the pressure of that
18 condensed water in HRSG 1, allowing the water to push
19 itself and to be drawn into the still-operating steam
20 turbine. And what is termed by industry as a steam turbine
21 "water induction event," the water led to a loss of speed
22 control of the steam turbine with the overspeed causing it
23 to fly apart. Next slide, please.

24 Identified deficiencies by the investigation team
25 including equipment maintenance and monitoring program,

1 which allowed degradation of CRH-1 valve to occur. That's
2 the one that allowed the steam leak to occur over two days.

3 The corrective actions for the equipment
4 maintenance and monitoring program at the power plant
5 include:

6 Implement a preventative maintenance and
7 monitoring program for the cold reheat valve, its gearbox
8 and actuator assembly that includes frequency of
9 inspections, services, and required lubrication and submit
10 to staff for review and approval.

11 Second, to reconfigure the CRH stop valve to
12 close based on an actuator torque rather than limit
13 switches.

14 And finally, to implement an annual preventative
15 maintenance program for the steam attemperators and mixers
16 and submit to staff for review, comment, and approval.

17 Next slide, please.

18 For the second problem that occurred that night
19 we refer to Causal Factor Number 2, which is deficiencies
20 in the operator interface and training which prevented the
21 operators from detecting the buildup of condensed steam.

22 The corrective actions for the control room operator
23 interface and training include:

24 Synchronize the internal clocks that generate the
25 time and date stamps for alerts and alarms for both the

1 Mark VI and the distributed control system.

2 Consolidate the alarms generated by the DCS and
3 Mark VI control systems into a single control system to
4 reduce the need for operations staff to monitor multiple
5 systems simultaneously.

6 Then reduce the occurrence of nuisance and false
7 alarms by providing some "smart alarm" logic in the
8 consolidated DCS and Mark VI control systems and provide an
9 updated operator training that includes water induction
10 events along with evidence of its completion to the
11 Commission.

12 Finally, the last two items are to implement some
13 control logic to alleviate pressure within an offline HRSG
14 should it occur. And to implement control logic to
15 discharge water from the offline HRSG should it occur.
16 Next slide, please.

17 And then the third problem that occurred, we
18 identified inadequacy of water induction protection,
19 including lack of blocking valve between offline HRSG and
20 steam turbine.

21 The corrective actions for inadequate water
22 induction protection include:

23 Convert that check valve of the HRH stop/check
24 valve from manually operated to electrically operated, so
25 that it can be put into block mode when it is offline.

1 Provide an ASME TDP-1-2013 conformance analysis
2 and provide the list of design modifications that are being
3 implemented along with evidence of their completion. I
4 should mention here that ASME TDP-1-2013 it is an industry
5 standard specifically to address prevention of water
6 induction events for steam turbines, which is periodically
7 updated and is published by the American Society of
8 Mechanical Engineers.

9 And then finally to revise operations procedures
10 needed to accommodate all corrective actions that we have
11 discussed and submit to staff review for approval. Next
12 slide, please.

13 In summary, there are 11 corrective actions
14 identified by the JAIT. Each one addresses an aspect of
15 one or more of the three causal factors just discussed.
16 This list includes and expands on the list of restoration
17 recommendations provided in the RCA commissioned by
18 Calpine. Staff recommends that these corrective actions be
19 adopted and completed prior to the power plant resuming
20 commercial combined-cycle operations.

21 Are there any questions? (No audible response.)
22 In that case, I would like to call on James Cheng of the
23 CPUC, who is serving as CPUC's Investigative Team Leader.

24 COMMISSIONER VACCARO: Geoff, really quickly,
25 sorry I didn't hit my button fast enough. I did have one

1 question about what you just mentioned with respect to the
2 industry standard. So is that a newer standard or was that
3 something that was in effect when this plant was initially
4 permitted? I'm trying to make sure I understand that
5 you're saying that as part of the suite of corrective
6 measures to be compliant with the industry standard. I'm
7 just wondering was that something that was applicable
8 throughout that?

9 MR. LESH: I would say that it has been around in
10 various forms for many years. It was originally considered
11 a voluntary standard and the extent to which different
12 power plants adopted conditions is left to some discretion
13 between the power plant and the builders. We are at this
14 point making use of the most recent standard and asking
15 them to adopt its recommendations.

16 COMMISSIONER VACCARO: Okay, I think I
17 understand. So you're just saying be current. Be current
18 and be compliant with the most current applicable industry
19 standard.

20 MR. LESH: Yes.

21 COMMISSIONER VACCARO: Thank you.

22 COMMISSIONER MCALLISTER: So I will have a
23 question, but maybe the presentations can finish, and we
24 could see if there's any public comment. And I think we
25 might have some additional questions.

1 CHAIR HOCHSCHILD: I did have one question. This
2 is the first time in my nine years in the Energy Commission
3 where there's been an incident like this. I'm just curious
4 to the best of our knowledge, how often has an accident of
5 this type happened elsewhere in the country? Is this
6 something that's a one in a million thing or is this
7 something we see more frequently? I have not seen
8 anything like this in my time here, so.

9 MR. LESH: Historically it's not unknown. There
10 have been, especially back in the 1960s through '90s
11 perhaps, more water induction events to steam turbines and
12 more steam turbine self-destructions over overspeed events.

13 I think in some of the resources I looked at,
14 listed out of I think seven at the time, categorized steam
15 turbine explosions. Maybe seven of them were due to water,
16 and of those all of them involved an explosion.

17 CHAIR HOCHSCHILD: That's helpful. Unless
18 there's other questions shall we move on to the PUC?

19 MR. LESH: Thank you.

20 CHAIR HOCHSCHILD: Thank you, Geoff, I appreciate
21 it.

22 MR. CHENG: Thank you, Geoff, for the
23 introduction and Elizabeth for that very detailed report.
24 I too look at Mr. Lesh as a newfound friend and colleague
25 through this experience. It's been quite a positive

1 aspect.

2 MR. CHENG: Good morning, everyone. Again my
3 name is Jim Cheng and it's my privilege to represent the
4 California Public Utilities Commission's Safety and
5 Enforcement Division. I am the Lead Investigator for the
6 May 27th explosion and fire at the Russell City Energy
7 Center. And as a representative of the Safety Enforcement
8 Division I can say that the CPUC enforces PUC rules and
9 public utility codes and jump through the general order to
10 ensure that electric and gas producers operate in a safe
11 and reliable manner.

12 This Division enforces CPUC rules, Public
13 Utilities Code, and general orders to ensure the electric
14 and gas generators operate and provide safe and reliable
15 service. We achieve this through audits, investigations
16 and inspections of utility incidents and facilities. We
17 achieve this through audits, inspections, and these types
18 of investigations.

19 Throughout this investigation CPUC has worked in
20 tandem with CEC. This work has required over 270 documents
21 to be requested and reviewed as well as multiple onsite
22 visits to observe the progress this plant has been making
23 to move forward to resume normal operations by June 1st.

24 This collaborative has accumulated this list of
25 these 11 corrective actions with which PUC concurs.

1 Although the purpose of the CPUC's investigation was to
2 ensure compliance with General Order 167 and other public
3 utility codes, we believe that if this power plant follows
4 these corrective actions they can resume full operation
5 safely.

6 The hallmark to this statement is the outstanding
7 and collaborative nature of working both with the CEC and
8 the City of Hayward and these first responders. In my 25+
9 years of state service this is a first and it has
10 definitely enhanced our regulatory authority in a
11 cooperative and collaborative way. The depth of this
12 report is a testament of what can be achieved through
13 cooperation of fellow agencies.

14 In closing I hope that these collaborative
15 efforts continue in the future as they can usher in a new
16 era of agency, interagency cooperation and enforcement.

17 If you have any questions, in answer to that
18 previous question about TDP-1 DA semicode (phonetic) this
19 power plant was commissioned in 2007 and was exempt from
20 the 2013 revision of that code. We are asking that they
21 bring it up into current standards at this point.

22 And in answer to the previous question is this is
23 a one-in-a-million event, it is very rare. In 30 years of
24 investigation going back we have not seen such an event
25 occur. There are NERC standards, National Energy

1 Regulatory Commission standards, which are guidelines
2 primarily for nuclear power plants. But in some ways those
3 standards are a little overreaching in this situation.

4 But we do believe that these corrective actions
5 address that and that possibility. There have been
6 standards established in our general order, which we will
7 also hold Calpine accountable to and update those standards
8 in their procedures and SOPs.

9 And with that I give the podium to Elizabeth
10 Huber. Thank you.

11 CHAIR HOCHSCHILD: Thank you.

12 Commissioner Vaccaro, yes?

13 COMMISSIONER VACCARO: Yeah, I was just going to
14 say I don't have a question, Mr. Cheng, but really do
15 appreciate your coming and all that you've said. I think
16 you underscored some really important points. There's
17 still going to be time for Commissioner discussion, but I
18 didn't want you to leave the podium without recognizing a
19 lot of important points that you just made, one of which is
20 the strength of the PUC, the city, the CEC all came
21 together for a really robust analysis, which is reflected
22 in the report. I think that's something that you were
23 mentioning. And I did read the report, and I agree. So
24 thank you for coming today.

25 MR. CHENG: It was my pleasure. Thank you for

1 having me.

2 CHAIR HOCHSCHILD: Thank you. I think we had
3 some - was there some prepared remarks from the CAISO as
4 well, Elizabeth?

5 MS. HUBER: No.

6 CHAIR HOCHSCHILD: All right, we'll now go to
7 Calpine?

8 MS. HUBER: Yes.

9 CHAIR HOCHSCHILD: Okay.

10 MR. HARRIS: Good morning, Jeff Harris, on behalf
11 of the --

12 MS. HUBER: Oh, I'm sorry we're not done, Jeff.

13 MR. HARRIS: Oh, I'm sorry.

14 MS. HUBER: My sincere apology.

15 Thank you, Jim. And you'll be here for
16 questions? Jim will be here for questions at the end.

17 Successful completion of these 11 required
18 corrective actions would directly address the cause of the
19 May 27, 2021, incident and provide protective measures to
20 further reduce the likelihood of future steam turbine
21 overspeed due to water induction. Next slide, please.

22 I would now like to invite via Zoom Hayward City
23 Manager, Kelly McAdoo and Hayward Fire Chief, Garret
24 Contreras, to speak to their ongoing activities in
25 preparation for Russell City Energy Center's returning to

41

1 safe operations.

2 MS. MCADOO: Good morning, everyone. Thank you,
3 Elizabeth. My name is Kelly McAdoo. I'm the City Manager
4 for the City of Hayward. It's good to see the
5 Commissioners again. I apologize for not being in-person
6 this morning. We have a City Council meeting this evening,
7 so it's a busy day for us here in Hayward, so thank you for
8 letting us participate via Zoom.

9 And I just also wanted to welcome Commissioner
10 Vaccaro to the Commission. We haven't met in person.
11 We've met everyone else in person during the site visits,
12 but it's nice to meet you virtually, and welcome.

13 I wanted to, just before I made some comments to
14 the points on the slide, just particularly thank the CEC
15 and the CPUC staff, in particular Elizabeth Huber who has
16 been leading and coordinating these efforts on behalf of
17 the CEC. This effort has been, as you heard from Mr. Cheng
18 and from the CEC staff, just enhanced by our joint agency
19 cooperation and collaboration. And I really do want to
20 thank both of those agencies for the preparation of the gap
21 analysis report. I think from the City's perspective it
22 addresses a lot of the concerns we had with the root cause
23 analysis.

24 And also, I just want to say the report's fairly
25 accessible to the lay reader. If you don't understand

1 PowerPoint, power plants or power plant operations, you can
2 read the report and actually understand what the corrective
3 actions are. And so I'm just very grateful for the CEC and
4 CPUC staff work on this additional gap analysis report.

5 Just quickly we have, as you've heard, been
6 working with CPUC and CEC staff on the Joint Agency Working
7 Group. And then consistent with the Commission's order to
8 allow Calpine to restart operations at the Russell City
9 Energy Center, we have been working with Calpine staff.
10 And the direction in the order was to discuss any needed
11 modifications of standard operating procedures for first
12 responders to implement when responding to incidents on
13 site, including establishing a process for reimbursement of
14 reasonable expenses.

15 So we have been meeting with Calpine's new staff
16 representatives, the Fire Chief and I, and we are
17 finalizing what we're calling a Hazardous Materials
18 Resiliency and Action Plan. The Fire Chief on the next
19 slide will talk to some of the additional training
20 opportunities and actions that we're taking in that plan.

21 And then in response to the commentary about
22 reasonable expense reimbursement, we have been negotiating
23 with Calpine for partial funding for a fire department
24 hazardous materials response vehicle. This would allow --
25 during this incident we had to rely on the availability of

1 response vehicles from the City of Fremont and from Alameda
2 County and did not have that capability within our own fire
3 department. And so with this new response vehicle it will
4 allow our firefighters to be trained and they will be
5 participating in drills with Calpine staff to be able to
6 utilize that response vehicle in case of future incidents.
7 We have been working diligently and I believe that the
8 insurance claims for the Homeless Navigation Center are
9 almost actually resolved. I know they've been in the
10 process for a number of months and so that should be
11 resolved shortly.

12 And then also consistent with the Commission's
13 prior discussion, we've been having continued conversations
14 with the Russell City descendants. And our community
15 action group and Calpine is proposing some additional
16 monetary contributions to those efforts in our community,
17 so I just want to thank Calpine for their partnership. I
18 think as we've gone through this, we've seen an improved
19 relationship with them for sure, and really just appreciate
20 the staff onsite and their willingness to work with the
21 fire department and with city staff on some of these
22 efforts.

23 With that I'm going to turn it over to the next
24 slide and asked our Fire Chief, Garret Contreras, to talk a
25 little bit about the first responder plan as we go forward.

44

1 So next slide, please.

2 MR. CONTRERAS: Thank you, Kelly, and good
3 morning to the Commissioners and staff. Thank you for the
4 opportunity to be with you this morning. I wanted to
5 reiterate also how much we've appreciated the cooperation
6 and collaboration, in particular, with Mr. Lesh and Mr.
7 Cheng. Your cooperation and coordination through the
8 investigation, it has proved invaluable for our level of
9 comfort of things moving forward from the fire department's
10 perspective.

11 In addition, all the Commissioners that came down
12 and took an interest in our community and the situation
13 that took place is greatly appreciated as well. And Ms.
14 Elizabeth Huber has been instrumental in making sure that
15 we have a level of comfort and that there's follow-through
16 on things, so I can't say enough about how great it's been
17 to work with Elizabeth.

18 And also, I want to take a moment to recognize
19 the cooperation and collaboration with the plant staff,
20 both Cameron White and Barbara McBride have been really
21 accessible and very helpful through the process, and we
22 appreciate that.

23 We were notified of some of the early successes,
24 of some changes in the process and communications, and were
25 given early notification of some management changes on

1 March 10th. Those were management changes at the Calpine
2 plant. We've scheduled an annual HFD city manager meeting,
3 with a date to be decided. Our Knox-Box, which is our lock
4 box, so that we can gain entry during business hours or
5 after hours, that was updated in December of '21 as well as
6 all of the facility's material safety data sheets were
7 updated at the same time.

8 Just after the explosion, we also did a, what we
9 call our CUPA, our hazardous materials inspection. In all
10 of the findings from that inspection at that early date
11 were remedied within a week by the Calpine staff. They had
12 those things taken care of so, we're really thankful to see
13 that.

14 We have ongoing meetings with both our training
15 chief, as well as Deputy Chief Eric Vollmer is our Special
16 Operations Chief who is maintaining those constant contacts
17 with the Calpine staff.

18 We have a hazardous materials tabletop drill
19 scheduled for later this year. We haven't set the date
20 yet, whereas we work through some of the planning stages as
21 well as a schedule of plant tour for all of our new company
22 officers for familiarity. And not just for familiarity
23 with the plant, but with the people involved.

24 Identifying hazardous materials location, review
25 of emergency action plans, identify possible fire explosive

1 areas, things that have changed on the plant since the
2 original construction, kind of getting updated and changing
3 our plans accordingly.

4 Identifying water supply locations and access
5 points.

6 And then we hope later this year to have a real
7 rescue scenario, with a downed person, obviously during a
8 period of time where the plant is down. Obviously, it's
9 not going to be taking place in the peak of the summer
10 months, so most likely that confined space or delegated
11 rescue operation will take place when the plant is not
12 operating, most likely in the fall or early winter.

13 With that, I thank you for the opportunity and am
14 available for any questions. If not, we will be passing it
15 back to Elizabeth.

16 MS. HUBER: Thank you, Fire Chief Contreras, and
17 Kelly. Next slide, please.

18 I have never been more proud to have the
19 colleagues that I have, and the support of my Deputy Shawn
20 Pittard, and his counterpart at the CPUC, Lee Palmer.

21 We would like to recognize all those who have
22 been involved in the investigation root cause gap analysis.
23 And all the complementary activities required for returning
24 Russell City Energy Center to commercial operations safely
25 for summer 2022. Completion of the corrective actions by

1 Russell City Energy Center would prevent to the degree
2 feasible any future turbine overspeed events due to water
3 induction by deploying redundant systems of prevention and
4 detection.

5 The joint investigation team will continue to
6 meet with Russell City Energy Center staff who have agreed
7 to the corrective actions and have already begun
8 implementation. The CEC staff has tasked the CEC's
9 Delegate Chief Building Official to verify that once the
10 work is completed that work complies with all required
11 building codes before issuing a certificate of completion.
12 Next slide, please

13 The CEC staff recommends your adoption of the
14 identified corrective actions and to delegate to the CEC
15 Executive Director to verify that those corrective actions
16 have been completed. The team is available to answer any
17 questions. Thank you.

18 CHAIR HOCHSCHILD: Thank you, Elizabeth. And let
19 me just say I really agree with Commissioner Vaccaro's
20 comments on the report, which I thought was very detailed,
21 very thorough, but also very readable. And I think that's
22 an important feature when we're trying to explain these
23 events to the public and to interested stakeholders to
24 write in a way that's really accessible. I just want to
25 commend the whole team and their collaboration.

1 I think this moment is sort of in keeping with
2 the trend of the last few years of finding opportunity
3 inside crisis, which I would say is sort of the defining
4 story of California in the last few years. I do think
5 there is some good that can come out of this and has
6 already come out of it. I want to just commend all the
7 stakeholders for coming together: the city, Ms. McAdoo,
8 Chief Contreras, PUC, CAISO, CEC, Calpine, everyone.
9 Because I think we all share the same goal right now, which
10 is for this never to happen again at this facility or any
11 other facility and so there's lessons learned. And the
12 knowledge transfer from this, I think, is really important.
13 And I do feel everyone has come together in good faith to
14 really work to ensure we're successful in that.

15 So with that I believe we can turn now to public
16 comments starting with Calpine unless I'm -- sorry?

17 (Colloquy off mic.)

18 MS. MURIMI: Thank you.

19 CHAIR HOCHSCHILD: Yeah, we'll go to Commissioner
20 discussion after. So let's go back to you, Jeff, I'm
21 sorry. Go ahead.

22 MR. HARRIS: Good morning, again. It's Jeff
23 Harris on behalf of Calpine Corporation. I'm happy to be
24 here today. I've never been more happy to be in this room
25 than I am today, so it's great to see you all in person.

1 I think you saw before the meeting some really
2 good interactions, showing sort of the professionalism and
3 the respect among all the parties that have been involved
4 in this very serious and intensive effort for almost a year
5 now. So I'd like to turn it over to Mr. Mike DelCasale
6 with Calpine, he's the Senior Vice President of Operations
7 just, to say a few words. And we'll obviously make
8 ourselves available to answer any questions you might have,
9 so Mike, go ahead please.

10 MR. DELCASALE: Good morning and thank you for
11 the opportunity to speak to you today. My name is Mike
12 DelCasale and I'm Calpine's Senior Vice President of
13 Operations.

14 Over the past 39 years I have held various
15 positions in all aspects of power plant operations,
16 maintenance, design, and construction. I started my career
17 at the U.S. Navy through the Department of Defense. I've
18 held multiple positions in power generations across the
19 country. My current duties include responsibility for the
20 safe and reliable plant operations, the entire Calpine
21 fleet of 76 power plants, including our 13 units at the
22 Geysers.

23 In addition, the men and women of the Calpine
24 Asset Thermal Performance Diagnostic Center and our power
25 operations financial team are also in my reporting

1 organization.

2 I'm a trained mechanical engineer, having
3 received my Bachelor of Science in mechanical engineering
4 from Villanova University.

5 We want to thank the California Public Utilities
6 Commission, the California Energy Commission, and their
7 respective staff for their hard work and collaboration to
8 conduct a comprehensive review of the steam turbine
9 overspeed event at Russell City last year. And to review
10 and determine the corrective actions needed to address the
11 identified design issues. We are implementing all of these
12 corrective actions to safely return to combined cycle
13 commercial operations. Safety is a core value of Calpine.
14 We acknowledge the seriousness of the event and the concern
15 it caused in the community, and we remain deeply committed
16 to the safety and wellbeing of the community, our
17 employees, and the facility.

18 Our Calpine team worked tirelessly over the last
19 year, and we are on track to safely return the facility's
20 combined cycle operations in time to meet the State of
21 California's summer reliability needs.

22 Our entire team, from our executive management to
23 our plant staff take this event very seriously. That's why
24 we commissioned an independent report which identified the
25 root cause. And then another report, which identified

1 actions to ensure the safe operation of the facility.

2 We are thoroughly reviewing the CEC report that
3 was issued Friday evening. While we are not aligned with
4 all the aspects of the report, we do agree with all the
5 corrective actions and will ensure they're completed prior
6 to our return to combined cycle commercial operation. Our
7 experienced team properly maintained and operated the
8 facility and no change in maintenance or operational
9 training could have prevented this event. However, the
10 seriousness of this event resonates within our company at
11 all levels. We are already implementing the corrective
12 actions.

13 We look forward to our ongoing partnership with
14 the California regulators, the City of Hayward, the Hayward
15 Fire Department, and the industry experts to ensure the
16 wellbeing of our community as we work to keep the lights on
17 this summer. Thank you.

18 CHAIR HOCHSCHILD: Thank you.

19 Let's see, do we have other public comment,
20 Dorothy, at this time?

21 MS. MURIMI: We do have public comment on the
22 line on Zoom.

23 CHAIR HOCHSCHILD: Okay. Let's go to that,
24 thanks.

25 MS. MURIMI: Thank you.

1 Again, just a reminder for individuals who are on
2 Zoom go ahead and use the raise-hand feature. It looks
3 like an open palm or a high-five at the bottom of your
4 screen or device.

5 And we'll start with Claire Warshaw. Go ahead
6 and unmute, state your affiliation, spell your name, and
7 you may begin your comment.

8 MS. WARSHAW: Hi, my name is Claire Warshaw. I'm
9 a member of the public, C-L-A-I-R-E and then W-A-R-S-H-A-
10 W. I want to thank everybody for investigating this event
11 so thoroughly and sharing it with the public.

12 I noticed last night and this morning, and I
13 didn't look right before the meeting, but I have looked
14 probably an hour before the meeting, that Agenda Item
15 Number 3 which I think this is did not reflect this
16 material. It reflected something that had to do with CEQA.
17 And maybe I saw that wrong, but I think the backup material
18 for the Zoom audience might not have this in it.

19 And then I just want to mention a question,
20 because I didn't notice before when this event had been
21 talked about that the PG&E had made a request a couple days
22 before the event happened, if that's unusual, to the
23 operators. That would be a concern to people that I had
24 worked with, if I had all of a sudden received an unusual
25 request. And I wonder if PG&E will like test them again

1 with the very same kind of request. And if that's -- if
2 it's appropriate to think about how the people that were
3 operating might perceive that or not even understand that
4 all these things might happen. I understand all the
5 follow-up engineering and everything, but it is difficult
6 to be a worker and then suddenly have something unusual
7 tossed at you. And I don't know if that's regular or not,
8 that's my comment. Thank you again.

9 MS. MURIMI: Thank you, Claire.

10 Moving on we have Steve Guttman. That's Steve
11 Guttman. Go ahead and state and spell your name, give
12 your affiliation if any, and you may begin your comment.

13 MR. GUTTMANN: Good morning, everyone. My name
14 is Steve Guttman, spelled G-U-T-T-M-A-N-N. I'm actually
15 here as a member of a grant applicant under the next EPIC
16 challenge, which is Item Number 5 on your agenda. But I am
17 a practicing mechanical engineer in California, and I have
18 a deep understanding of steam systems, and so as I listened
19 today a question came to mind.

20 The Russell City Energy plant experienced a
21 failure that apparently is not unheard of in a plant
22 configured like the Russell City Energy Center plant. So
23 my question is, are there other plants in California that
24 are configured similarly? And should the action taken by
25 the Commission not include a risk analysis of other similar

54

1 plants in California and possibly even recommendations to
2 implement some or all of the corrective actions at any
3 similarly configured plant? Thank you.

4 MS. MURIMI: Thank you, Steve, and apologies.

5 Moving on we have Andrew Wilson. That's Andrew
6 Wilson. Go ahead and state and spell your name and give
7 your affiliation, if any.

8 MR. WILSON: My name is Andy Wilson, A-N-D-Y W-I-
9 L-S-O-N. I'm on the Board of Directors of California
10 Pilots Association, or also known as CalPilots. As some
11 background for the Commissioners we participated in the
12 siting process for power plants as power plants began to be
13 constructed or proposed construction near airports. And
14 this resulted in the FAA developing their own plume
15 analysis, thermal plume analysis, and the effect they would
16 have on aircraft.

17 So the position of the RCEC power plant is about
18 a mile-and-a-half west of the Hayward Airport. It's also
19 under the airspace for the Oakland Airport and it's also
20 very close to the transition height of aircraft coming in
21 and out of the airport. This is also very concerning,
22 because of the helicopters that are close to this area.

23 Now there is an FAA notice for aircraft not to
24 fly directly over the power plant. But my comments today
25 center around the fact that the Commissioners have heard

1 about the Navigation Center, which is a housing center.
2 But there has been no mention of aircraft in the area and
3 how they would be affected by flying debris from the
4 explosion.

5 You've also heard that this is not a one-off or
6 an anomaly. You heard two speakers, one address the RCEC
7 power plant and Calpine. But the other speaker brought up,
8 "Well, what about the total risk being inclusive of all
9 generators?" So that hasn't been addressed.

10 The other issue is the City of Hayward owns the
11 airport. It's also their responsibility to bring attention
12 to aircraft in the area.

13 Now the time of the explosion was such that the
14 airport was closed, and little traffic was going into
15 Oakland. However, if this was around peak operating times,
16 we could have aircraft being hit by metal debris and so on
17 and so forth. So my question is you address people on the
18 ground, specifically navigation centers, but you have not
19 addressed pilots in the air or aircraft in the air.

20 As a brief history it was the efforts of
21 CalPilots that brought the attention to the CEC to include
22 adding aviation to your transportation analysis on power
23 plants. That's all I have, thank you very much.

24 MS. MURIMI: Thank you, Andrew.

25 Seeing no public comment in the room and no more

1 on Zoom, Chair, back to you.

2 CHAIR HOCHSCHILD: Okay let's go over to
3 Commissioner discussion, beginning with Commissioner
4 Vaccaro.

5 COMMISSIONER VACCARO: Thank you. So I'm going
6 to build on I think some of the discussion that started on
7 the dais. I don't want to be repetitive, too repetitive,
8 but I think it bears repeating to thank everyone, the CEC
9 staff. I know it was the Siting staff. There was support
10 from our Legal Office, PUC, the City of Hayward, for all of
11 the work that was put into this and the development of the
12 report. Also I thank Calpine for the cooperation in the
13 investigation. I think I heard a word today that really
14 took me a bit by surprise, and I was happy to hear it from
15 City Manager McAdoo, which was "partnership," and
16 partnership across the board.

17 So such a serious incident could lead to, I
18 think, a new model for how we look at serious incidents
19 that might occur at power plants, how to collaborate, and
20 how the project owners can be I think even better partners
21 within a community in terms of being part of a solution.

22 I also heard from Calpine that you have maybe a
23 few reservations about the staff report, but nonetheless
24 you will comply with those measures that are being
25 recommended. I think that's very important.

1 I want to take a few steps back because,
2 Elizabeth, I thought you did a tremendous job in the
3 presentation. It was very thorough, it was long, but it
4 was rightfully so. It was densely packed, I think, with a
5 lot of important information. If no one read the report I
6 think what they heard today between you and Geoff and Mr.
7 Cheng was the content of the report, easily understood,
8 technical at the right levels. But I think it underscored
9 a few points.

10 First of all, Calpine did commission an
11 independent analysis sort of for the root cause. And what
12 staff, PUC and the City determined is there was still more
13 work to be done. And I think that's what the report
14 reflects, that there was more investigation to really dig a
15 little bit deeper into the root cause. And also to
16 fashion, I think, even more workable, broader, and more
17 stringent measures to ensure safety.

18 And I think that's really the thing that's been
19 underscored today, employee safety, safety of the community
20 is paramount. I understand it's important for a power
21 plant like this to be online for reliability purposes, but
22 not at the expense of safety. And I think what I'm hearing
23 today and what I read is that employee and public safety
24 were the number one priority of the investigative team in
25 coming up with these measures that are being recommended.

58

1 So again, thank you all for the diligence and the
2 hard work. And for transparency's sake I want to make sure
3 that I put on the record I did get a briefing from staff on
4 the report, so it was on this item. And I mention that
5 because there is still a separation of functions element to
6 this, because this report does not delve into any
7 investigative findings that might or might not result in
8 any other compliance recommendations by staff. That's
9 still something as I understand that may come, might not
10 come, but we didn't discuss that. We stuck to the report,
11 and I think that's important.

12 I feel, Elizabeth, that you touched on that in
13 the opening remarks. That there is a distinction between
14 what we're looking at today and the possibility of more to
15 come as staff continues its fact-finding.

16 That was a question that I asked yesterday. And
17 the able legal counsel of Dian Vorters and Jared Babula
18 kept me on the right side of separation of function as I
19 started to ask questions. But I am satisfied that this
20 Phase One is an important Phase 1. I look forward to what
21 Phase 2 might look like as the fact-finding continues.

22 And again, thank the City of Hayward, the City
23 Manager and the Fire Chief for their comments today as
24 well.

25 CHAIR HOCHSCHILD: Okay. Let's go to

1 Commissioner McAllister, to be followed by Vice Chair
2 Gunda.

3 COMMISSIONER MCALLISTER: Well great, well I'll
4 just pile on to the thanks: Elizabeth, Geoff, Mr. Cheng
5 thank you very much for presenting here today. I also got
6 a briefing from staff, which was really complete. And
7 thanks to Shawn and his team for playing 20 questions with
8 me. I asked a lot of questions and got really good
9 answers, so I was thankful for that.

10 And it just reflects the really long sustained
11 effort with all the partners including Calpine, the City,
12 to address the real fundamental issues that gave rise to
13 this event, which I think are - well, this presentation
14 today and just sort of throughout the year ever since we
15 heard about this incident and we went down and visited and
16 just talked to everybody and started piecing together, what
17 the response had to be.

18 It sort of has reminded me -- I had a professor
19 in grad school, Gene Rochlin, who read a book called,
20 "Trapped in the Net." And it's about complex systems and
21 how they can get away from us, and things could happen that
22 people in the moment don't understand. And it gives
23 examples from the financial industry, from the space
24 shuttle -- was a really interesting one, the explosion in
25 the space shuttle -- where just the structures there are

1 not there to give the information to the right person, so
2 that they can understand it and interpret it in the moment
3 and respond appropriately.

4 And so this would be a kind of an interesting
5 case study for that kind of an approach. Because there was
6 a long chain of events that sort of all had to take place
7 in order for that generator to get instantaneously unloaded
8 while there was still pressure on the steam turbine trying
9 to move it. And so this runaway event really happened,
10 because of I think the lack of situational awareness and
11 kind of lack of understanding in that moment. And so
12 certainly that there was water in the presumably
13 decommissioned, or out-of-service steam generator.

14 So anyway I really appreciate the unpacking of
15 this and really the sort of understanding of the human --
16 not only the equipment, yes there's lots of equipment
17 issues here, several of them -- but the sort of human
18 element that's interfacing with the equipment that needs to
19 understand and have that situational awareness. I think
20 all these lessons and the training and the remedies that
21 have been, that are being required now I think are correct.

22 But there's kind of this broader institutional
23 kind of overlay that I think is still worth thinking about
24 as we go forward. These are complex systems. I mean
25 there's no getting around that. And so we have to make

1 sure we have the equipment, or the understanding and the
2 sort of human sort of compatibility with what are
3 increasingly technologically dense systems as we have a lot
4 of digital tools, a lot of computers, a lot of sensors,
5 those have to actually all operate correctly in the moment.
6 And the people running them have to know everything that
7 they need to know. So I appreciate that kind of unpacking
8 where the blind spots were and how to correct them. The
9 procedures, I think Commissioner Vaccaro talked about kind
10 of the new ruleset more eloquently than I can.

11 But again I just want to thank -- this was a long
12 time coming. And I think the report and the collaboration
13 really was exactly what was needed and bodes really well
14 for managing our fleet going forward. And so again thanks
15 to Elizabeth and Shawn and Geoff. I really appreciate your
16 insight and sort of your just the right level of folksiness
17 about what's that high technology, complex technology
18 that's not accessible to most of the public, but you do a
19 really good job of translating that.

20 And the teams from both Commissions, they're
21 behind all of you. The City, Ms. McAdoo and Fire Chief
22 Contreras, I really appreciate your sustained attention to
23 this and your dedication to your community to really get it
24 right. And then of course Calpine for stepping up and
25 really partnering with all of the above. So I really,

1 really appreciate the moment that we're in. It's not quite
2 a conclusion, but I think a good moment to recognize the
3 good work that's been done and really move on with it with
4 a real positive posture. So thank you all.

5 CHAIR HOCHSCHILD: Vice Chair Gunda?

6 VICE CHAIR GUNDA: Thank you, Chair. Great
7 comments by Commissioner Vaccaro and Commissioner
8 McAllister.

9 So I just want to focus on a few things that we
10 started off last year. So I think it's pretty fair to say
11 that last year when we first discussed this in the public
12 meeting, in the Business Meeting, it was a pretty stressful
13 meeting. I think a part of the stress and kind of how the
14 meeting played out really came from a lack of transparency
15 and awareness of what was happening, a lack of trust
16 generally that we all kind of discussed that day.

17 And so I think for me the priorities as we were
18 going into this process, we are continuing to improve
19 transparency and awareness of the situation. And I think
20 Commissioner McAllister spoke to that about how well the
21 teams got together and kind of worked to make sure this
22 information is accessible.

23 I think what I heard from the City Manager
24 McAdoo and Chief Contreras is really from them, there is a
25 trust-building exercise that happened. And then it seems

1 to appear that now we're all kind of on the same page on
2 the information and the accuracy of information and how we
3 are sharing it.

4 So I think the next kind of couple of pieces are
5 then consensus on the problem and statement of what
6 happened, the investigation, and the consensus of whether
7 the remedial action that was put on is sufficient to
8 address those issues.

9 And what I understand to be, and this is where I
10 defer to the technical experts, that we have well
11 understood the problem. I'm not as detailed in
12 understanding that. And I defer to your experience and
13 prudence on that. And the remedial action that you're
14 proposing, to the extent that I understood seems
15 appropriate, but I don't know what I don't know. And I
16 trust your expertise on that.

17 Then kind of finally going to what Commissioner
18 McAllister mentioned, which is the proactiveness of how do
19 we take this situation and learn from it and continue to
20 establish processes to take these best practices in moving
21 forward into the safety.

22 So overall, I just want to step back and just say
23 thank you, Elizabeth. You've really stepped into this and
24 kind of created the atmosphere for all of us to
25 collaborate. I really appreciate your thoughtfulness and

1 respectfulness in bringing everybody together, and I think
2 a huge kudos to that that's not often said.

3 Geoff, to your ability to just digest this
4 complex problem and bringing it together.

5 Mr. Cheng, thank you so much for being here today
6 from PUC. I had the opportunity to discuss with you a
7 couple times, thanks for your ability to engage on this
8 issue the way you do. And obviously the leadership at the
9 city including the Mayor, and also Calpine.

10 I think it was a tough meeting last year where we
11 were not really feeling that we all took charge of the
12 situation and taking and saying we're accountable for what
13 happened. But this looks like we all came together, and I
14 really appreciate Calpine. And it's a tough spot to be in,
15 but coming together and being a part of the conversation
16 and improving that. So overall just really grateful for
17 the work of the entire team and CCL. And I think and I
18 really hope that we make this a model to set up the future
19 safety standards for the state.

20 And I want to just flag this, reliability is not
21 going to go away. And as Commissioner Vaccaro said these
22 are not choices we want to choose between: reliability and
23 safety. That's just not something we want to be
24 compromising on. So I just want to make sure that we know
25 we're all working together towards that.

1 And to the extent that our gas fleet is older and
2 older and older and going to be dependent on for
3 reliability over and over for a little while, just really
4 how do we suggest something to the Commission in terms of
5 actions on continuing to be proactive on other plants that
6 might have been a similar situation. I don't know what I
7 don't know, but I defer to the experts in helping address
8 that. Thank you.

9 CHAIR HOCHSCHILD: Thank you.

10 Commissioner Monahan?

11 COMMISSIONER MONAHAN: Well, I'm going to build
12 on some of the remarks Vice Chair Gunda, Commissioner
13 Vaccaro, and Commissioner McAllister have made. While this
14 might be a rare event, we have to do all we can to make
15 sure that it never happens again. Someone could easily
16 have been killed by the flying shrapnel, as the report
17 called it. The first responders could have been hurt. And
18 I think you are hearing from all the Commissioners sort of
19 a recognition of how life-threatening this incident was.
20 And it's not often that we on the dais are ruling on
21 matters of life and death and this is one of those
22 incidents, so we're taking this extremely seriously.

23 And I just want to acknowledge some of the
24 lessons learned, which I think I'm hearing from others as
25 well, is that we have to conduct an independent analysis.

1 So I congratulate the team and Drew for really pushing
2 forward. That wasn't a fait accompli at the beginning, and
3 I think that's clearly a lesson for us is that we have to
4 do an independent analysis. It's not enough to have a root
5 cause analysis conducted by the facility in the wake of an
6 incident like this. We need an independent analysis.

7 A clear lesson learned too is the engagement, the
8 deep engagement with the city and the Fire Chief. And the
9 importance of having a team consisting of the regulatory
10 agencies: the Energy Commission, the Public Utilities
11 Commission, CAISO, so as needed, the facility, the city and
12 especially the Fire Department. And the fact that we're
13 hearing from all these entities that this conversation is
14 happening, that trust is building, that a plan is being put
15 forth that everyone agrees will enhance safety is it gives
16 me a lot of faith that this is a solution we should move
17 forward with.

18 So just I want to come back to that this is a
19 sober moment. We treat this as a matter of life and death
20 and we're acting in that way. And I think the team,
21 Elizabeth, everybody's best friend Geoff apparently, have
22 really done a good job in working with all the stakeholders
23 to have an agreement that works for everyone.

24 CHAIR HOCHSCHILD: Thank you.

25 Yeah, Vice Chair Gunda?

1 VICE CHAIR GUNDA: Yeah, I just wrote myself a
2 note and not to forget -- and oftentimes I know not to
3 forget -- and Shawn, thank you. It doesn't happen without
4 the leadership of the Division. I just wanted to just
5 thank you. I told myself not to forget the management
6 team, which is essential, and so thanks for doing that.

7 CHAIR HOCHSCHILD: I'm glad you noted that.
8 Shawn, thank you for your work.

9 I do want to press Calpine though on one thing
10 you said, if I understood correctly, that there was no
11 preventative maintenance that could have avoided this. And
12 that seems to be directly in conflict with page 18 of the
13 report which says, "Maintenance failure were associated
14 with critical components and that the operation staff
15 failed to identify manually operated stop check valve as a
16 potentially critical blocking valve should water collection
17 occur in the offline reads steam pipe." I'd just like your
18 response to that.

19 MR. DELCASALE: Yes certainly, Commissioner.
20 First thing I want to say is Calpine does recognize the
21 importance here. I've been personally involved with this
22 event since that occurred. I'm here today, because I've
23 been working on this ever since it occurred just to let you
24 know how serious we take this. And I'm taking it on
25 personally.

1 Specific to our comments that we do not believe
2 that any change in maintenance or operation would have
3 changed it. Our basic premise is that the event occurred,
4 because of decisions made during the design process around
5 the drains. So if you start with that premise if the
6 drains were operating properly -- and there was a decision
7 made during the original design of the plan and it was
8 reviewed by the CEC and Calpine's teams who implemented a
9 program that would prevent the drains from opening to
10 preserve energy to meet strict startup and commissioning
11 admission conditions.

12 The belief is, our belief is that because that
13 water was allowed to accumulate and we did not have a
14 detection system as described by the investigation in the
15 CEC report, that there was very little that the operators
16 could have done to stop the event once the water started
17 flowing. When you read TDP-1 it gives you very strict
18 expectations, and this is also referenced in the report.

19 At the report states, you know, there's really
20 three simple things in TDP-1, the ASME TDP-1. You know,
21 the first thing you need to do with water is detect it.
22 The second thing you need to do with water is to drain it,
23 either through automatic or manual means. And the third
24 thing you have to do with water is dispose of it properly.
25 We did not have the detection system in position for the

1 operators to know about it. We will now. And our training
2 and our training modifications that we're doing going
3 forward is specific around the detection of water and the
4 draining of water and pressure, so our operators didn't
5 fail. When we designed this system, and our EPC
6 contracting engineering firm designed the system and we
7 signed off on it, that's where we had the failure here.

8 Specific to the maintenance that you asked,
9 Commissioner, on the valve and under the valve? The
10 overheat valve that we talked about that had the failure,
11 we followed all of the OEM recommendations in the OEM
12 manual, okay. Well, the failure that occurred was of a
13 pinion bearing inside the gearbox. When that valve was
14 taken off and sent to the shop that valve operated
15 smoothly. There was no discernible means and methods to
16 understand that there was a problem with the valve, so we
17 went back in and investigated. The problem that occurred,
18 and lies in the failure that occurred, was in the valve
19 itself. As that pinion bearing moved or failed over time,
20 the number of turns required to open and close the valve
21 changed over time.

22 The CEC report talks about a change in torque,
23 and it was over-torqued. The torque value on the actuator
24 was less than 50 percent of the total capability of the
25 torque. The actuators and the gearbox should be matched

1 up.

2 So it also talks about a range or change in work
3 orders over time where they had to slightly increase it.
4 If you go back through the investigation of the valve
5 itself the torque adjustments that were required were tied
6 to overtightening the packing. Those shafts have packing
7 on it to prevent steam leaking, so that the periodic
8 maintenance to go around can adjust the packing so it
9 doesn't leak. It appears that at some point some of that
10 packing was overtightened, which is okay, because it
11 requires a little bit more torque open to close the valve.
12 That's what it was. So the conclusion that it was driven
13 to maintenance, is different than our conclusion that it
14 was driven by a failure of a bearing inside the gearbox
15 itself.

16 So the correction that we made, and we're in full
17 alignment with our independent investigator SIA and the
18 CEC, was to go to a torque-close versus a time-close. The
19 way it was set up initially we had a time-close, so it just
20 counted the number of revolutions. The way it's set up now
21 with torque-close once it gets to a certain torque and we
22 know it's closed we'll get feedback back to the control
23 room.

24 So we are in full alignment with the change
25 that's being recommended here, so I hope that answers your

71

1 question.

2 CHAIR HOCHSCHILD: Okay, so your position is
3 design fault. But I would welcome if there's a response,
4 Geoff, or for anyone on staff on the basis for this finding
5 that there was a failure of operations staff to identify
6 some of these features. I don't know who -- is that Geoff?
7 Would you like to reply?

8 MR. LESH: Yeah, I think the team considered that
9 the OEM manual didn't call for routine maintenance of this
10 valve. However, the evidence on its disassembly was that
11 there was evidence of probably long-term degradation
12 occurring as evidenced by rust. It looked like there
13 perhaps had been some steam or water entering into the
14 gearbox. And it looked as though this wasn't a sudden
15 failure, but a gradual failure over time. And we had
16 access to only two photographs, but those photographs would
17 lead us to believe that the damage in the gearbox was
18 consistent with long-term lack of lubrication and
19 potentially overloading.

20 And it's hard to say without taking the gearbox
21 apart ourselves to determine which failed first. But
22 having the bearing fall apart, and that area then was
23 severely rusted, was evidence that either steam or water
24 had entered the gearbox. And our position is that the
25 gearbox having not been opened or examined internally for

72

1 10 years, in spite of comments in the maintenance logs that
2 there was, I think, one person said screaming coming from
3 the valve as it actuated, we thought warranted a more
4 closer look into why this was occurring.

5 We saw not just the gearbox, but we know that the
6 actuator had to be replaced. Our assumption was because it
7 had been increased in its torque value a couple of times
8 before that, that perhaps they needed a stronger one, but
9 we don't know that.

10 I think the other thing that we saw was that the
11 actuation shaft -- this is a butterfly style of valve, so
12 it has a shaft that goes into the pipe and then there's a
13 plate attached to that shaft so it can turn, so the plate
14 is either parallel to the direction of flow or it's across
15 the direction of flow to close it. The bearings on that
16 shaft were also evidently dried and had been for some time.
17 And these were bushings and there was evidence of galling
18 on those surfaces. And in our view 10 years is too long to
19 go without a look-see inside.

20 CHAIR HOCHSCHILD: Thank you.

21 Well, all this is in the spirit of how can we
22 prevent this from ever occurring again? I do think it's
23 important to update maintenance protocols, given to
24 Commissioner McAllister's point about learning as we go.
25 It sounds like this is a very rare event, but their

1 findings in the report do speak to some of the maintenance
2 protocols.

3 Are there other Commissioners wishing to make a
4 comment? Commissioner Monahan, yeah?

5 COMMISSIONER MONAHAN: Actually just a follow-up
6 question then, Geoff, perhaps for you. How confident are
7 you that the revised procedures I don't know if you could
8 say would prevent an accident like this, but would enhance
9 the safety, would reduce the chance of an accident like
10 this occurring again?

11 MR. LESH: We are confident to the extent that
12 going to regular maintenance on all the three layers of
13 protection now, and having the design be one where any two
14 of those layers could fail and the incident still would not
15 occur, we think that the likelihood of this is extremely
16 unlikely ever again. I think we get more confidence in
17 that assumption, because we are not relying on our own
18 design here. But we're relying on an established industry-
19 wide standard as in the ASME TDP-1, which is a consensus
20 standard that involves parties in its evolution and
21 updating every few years that are from industry and
22 government and manufacturers and users. And so in that
23 sense we think it's already a well-vetted, well-tried and
24 updated according to experience standard that is better
25 than anything we could come up with on our own. In that

74

1 sense we think this is what's needed.

2 CHAIR HOCHSCHILD: Thank you.

3 I think we had two additional questions.

4 Commissioner Vaccaro, do you want to talk?

5 COMMISSIONER VACCARO: Thank you.

6 So Commissioner Monahan, thank you so much for
7 the question that you just asked, because it forced me to
8 look at my notes and I wanted to just sort of follow up, I
9 guess, to hear from staff.

10 If you recall, what Mr. Guttman the public
11 commenter was saying, we've been talking about lessons
12 learned. And there are a lot of things that are a very
13 broad, generalized sense that we can apply to partnership,
14 collaboration, investigation. There are also some lessons
15 that we've learned about what specifically happened here.
16 Mr. Guttman, as I understand it, was sort of getting at,
17 "So how do you take this information and apply it to
18 existing power plants that may or may not be similarly
19 operating?"

20 And I feel like that's really important, because
21 it's another facet in a way I think of what Commissioner
22 Monahan is asking. She's maybe asking in the context of
23 this case, but I feel like it is broader. And there are
24 some complexities and there's a sort of a little legal
25 underlay to what I'm getting at. Because we can't just go

75

1 and say here's something we've learned in one case and now
2 we're going to go and have all of the other Conditions of
3 Certification and all of these other cases, certified power
4 plants changed at the snap of our fingers.

5 But it goes into the industry question I asked
6 you, "Was this industry standard in place at the time of
7 certification?" The newer standard you're saying that this
8 plan is now going to have to comply with, but I don't know
9 how to reconcile all of this with existing power plants.
10 And do we have an eye towards doing some fact-finding
11 there, some investigation, making some recommendations
12 beyond just the Russell City Energy Center?

13 And I see Kirk Oliver, our Legal Counsel. I know
14 Linda Barrera is here, Jared Babula, and Dian Vorters, and
15 they all might wish to say something before you do. But I
16 think it's a fair question, because I think this is what
17 we're hearing, there are other things beyond Russell City
18 that we need to be mindful of.

19 MR. LESH: This is where we are aware that we
20 have, I think, 41 combined-cycle plants in the Energy
21 Commission's fleet of certified plants that are currently
22 in operation. Those are of different vintages. And just
23 like buildings built with building codes of different
24 vintages, their level of designed-in-and-practiced-
25 protection against water induction likely varies with their

1 vintage.

2 Now that we are aware of what can happen it's
3 incumbent on us to decide how to address this and how to
4 make for a survey and determine what's the proper response
5 to these different power plants.

6 I think on the good side we're not aware of a
7 rash of steam turbines exploding, and so we don't think the
8 situation is at this moment dire, but there is some risk
9 out there we take. Well, we're looking into it, I guess, is
10 what I would say. Even in Calpine's case the way they were
11 configured they were able to operate successfully for 10
12 years without an issue until one component became at the
13 last time just too marginal and there wasn't a backup.

14 MS. VORTERS: I think I want to make a comment
15 for the record, right? Can you hear me? All right. Dian
16 Vorters, on behalf of CEC staff.

17 And I noted, as did I'm sure the Commissioners
18 and other people online and listening in the room, the
19 comment -- and thank you, nice to see you again, Mike --
20 what's your last name?

21 MR. DELCASALE: DelCasale.

22 MS. VORTERS: Thank you. I noted the comment
23 that you made, that was made on the record that no change
24 in maintenance or operations could have prevented this
25 event. And I'll just say that that is an assertion. It's

77

1 not an established fact. This root cause analysis report,
2 and Vice Chair Gunda I think titled it correctly, it's a
3 problem statement. That's what this is. It identifies
4 corrective actions that are needed to ensure safe operation
5 and reliable energy generation going forward.

6 The report does not end CEC's authority to order
7 further corrective action or changes to Conditions of
8 Certification as needed. We will follow the facts and
9 ensure accountability under the Warren-Alquist act for this
10 power plant and all power plants within our jurisdiction.

11 MR. HARRIS: Commissioner, if I could?

12 CHAIR HOCHSCHILD: Yeah, Jeff?

13 MR. HARRIS: Thank you. First off, thank you and
14 I'm in complete agreement with Dian's comments. This
15 facility's on track to a safe return to combined cycle
16 operations. And the areas of agreement here are almost -
17 they're vast. There are recommendations that you are
18 asking us to implement, we've agreed to all those
19 recommendations. And I think everybody sitting here that
20 has spoken to you today is in agreement that we are going
21 to take those corrective actions and ensure that they're
22 completed, and that the facility is able to return to
23 combined cycle safely. There's lessons to be learned here.

24 I guess in our defense we received this report
25 late on Friday afternoon, we're still looking through it

1 with our team. And Commissioner, or Chair Hochschild to
2 your question, we owe you some direct answers to that and
3 we will provide those. This is not the end of this
4 dialogue or discussion at all. This is going to continue.
5 The partnerships that have been forged here is important to
6 us. We've created some valuable relationships that we're
7 going to leverage to make sure that these things are known.

8 There's already been a statewide letter issued on
9 this issue. We have checked our particular fleet as well.
10 And I also want to point out that one of the things that
11 Mike's going to do, and the Calpine team is making a
12 presentation eventually to the sort of the premier, I
13 guess, industry group, the AEIC on the issues here. And so
14 the lessons learned they're going to go beyond California.
15 They're actually going to go to that national group as
16 well.

17 So we've benefited from this review. We're very
18 thankful for the cooperation we received from all the
19 staffs. And you've seen some good personal relationships
20 forged through fire here. Some people have met for the
21 first time today in-person having worked together for 11
22 months on this issue. So that's been one really good thing
23 to come out of this, so that we take it very seriously.

24 And to your question on the standards, the
25 project was built to the 2006 standard at the time in full

1 compliance. There were design decisions that can be made,
2 but it was still compliant. And we're absolutely
3 committed to the current standard for the work that's being
4 done, so I don't want to leave any ambiguity about that as
5 well. So thank you for the opportunity to provide some
6 additional context and any other questions I'll be glad to
7 answer.

8 MR. DELCASALE. I have another comment.

9 CHAIR HOCHSCHILD: Go ahead.

10 MR. DELCASALE: For the PUC perspective, we did
11 issue a statewide alert notification to all of our
12 jurisdictional power plants, I believe that was about 150,
13 indicating that this overspeed did happen and how lucky we
14 have been to not have any deaths or collateral damage that
15 was more significant. So we too have taken this very
16 seriously and are applying lessons learned through our
17 Operating Standards 4 and our Operating Standard 28 and
18 disseminating this information and ensuring that other
19 power plants are going to be following these lessons
20 learned in the TDP-1 application of ASME standards as we
21 move forward. Thank you for your questions

22 CHAIR HOCHSCHILD: I think Commissioner
23 McAllister had a question. Yeah, go ahead.

24 COMMISSIONER MCALLISTER: Well thanks I really
25 appreciate that, and I totally agree. I mean I think we

1 dodged a bullet and learned a lot from something that could
2 have been much worse and so that's maybe a slight silver
3 lining here.

4 But I had a question about sort of the PG&E
5 interconnection, the understanding sort of what the grid
6 was doing when all this was taking place on the plant. And
7 this might be a question for the PUC, but it actually drew
8 power, it drew significant power as it worked through the
9 water that was in the turbine. And then according to some
10 operational standards sort of released at one moment. And
11 maybe I've got that wrong, but is there any sort of lesson
12 learned for the interaction, the interconnection sort of
13 protocols between the plant and the grid that might
14 minimize the possibility of this happening?

15 MR. DELCASALE: No, there isn't.

16 COMMISSIONER MCALLISTER: No?

17 MR. DELCASALE: These plants are not operated as
18 an offsite thing, such as a GAO (phonetic) or sort of
19 unmanned, these are manned stations. And there's really no
20 way that CAISO could un-anticipate the situation at the
21 power plant specific, it's up to the operators there. So
22 we're confident. There were some issues with the alarm
23 system, but we think we have that addressed as well. There
24 were over 5,000 alarms prior, but they were believed to be
25 unassociated with the water detection.

1 COMMISSIONER MCALLISTER: Oh, okay.

2 MR. DELCASALE: But again the cascading effect,
3 once the water was there, was so rapid that operator
4 intervention at that point when they were aware of it would
5 have not prevented the overspeed at that point. The idea
6 is to try to anticipate further ahead. And again,
7 addressing that valve I think will take care of it.

8 What we have to consider too is the size of this
9 valve, it's like a 36-inch-diameter valve and it's several
10 tons in weight. It's attached to a very large 24-inch-high
11 pressure steam pipes, and the maintenance of it is very
12 difficult. And it was anticipated as Calpine has
13 indicated, it was a sort of a design flaw and overlook.
14 Therefore, the Commission has sort of granted this process
15 of sort of an industry standard once they discover a
16 deficiency, to rectify that subsequently and not see it as
17 a total violation of any standard. It's how we learn as we
18 move forward with lessons learned, and that is operating
19 standard for lessons learned and the progression of this
20 information and knowledge to other power plants.

21 And then we are insisting that our maintenance
22 program now be initiated and followed very closely on all
23 these valves, not just the singular, but in all the valves
24 in this plant. Because this sort of overspeed and water
25 induction could occur from any source within the plant, so

82

1 it's actually been something that has sort of broadened the
2 scope of maintenance and illuminated us, educated us, in
3 the process. I hope that answers your question.

4 COMMISSIONER MCALLISTER: Great, thanks a lot.
5 In terms of just the electrical connection I guess I'm
6 still feel like I want to understand that a little bit
7 better, the protocols for how long the plant is able to
8 pull capacity from the grid, and for how many seconds and
9 that kind of thing. I just want to maybe dig in with staff
10 a little bit and understand that a little bit better. But
11 thanks for the broader answer, I appreciate that.

12 CHAIR HOCHSCHILD: Vice Chair?

13 VICE CHAIR GUNDA: Yeah, thank you for the
14 discussion. I think just the last few questions kind of
15 goes back to what we were talking about at least what I
16 tried to mention, which is the consensus on actually what
17 happened is something that seems to be mostly there, and
18 maybe we'll find other things. But one thing that I
19 understand is it's mostly limited to this particular
20 problem, right? Like so the water induction problem.

21 So I think it's prudent for us to continue to
22 think through. At the end of the day I think -- let me
23 pause on that sentence and come back to it -- I think at
24 the end of the day we want to have safe operations and
25 safety for everybody involved. And I think what I'm kind

1 of hearing from fellow Commissioners, and I think just the
2 spirit of this conversation in trying to ensure safety and
3 accountability, how do we continue to further the kind of
4 lessons learned or trying to understand facts to further
5 make these facilities safe, right? So especially when we
6 talk about we've constructed this to the 2006 standards,
7 agreed absolutely. And then we're learning as we move
8 forward what is the delta between a 2006 standard and today
9 that could show up again,

10 I totally understand that nothing blew up in the
11 last 10 years or 15 years, but when these things do happen
12 it's a great opportunity for us to make sure it never
13 happens again. So I just want to continue to just
14 collectively think about what more can we do to proactively
15 understand the vulnerabilities in the fleet, that we might
16 actually depend on them lower and lower, right, for fewer
17 and fewer hours. And we don't want to be in a situation
18 where there isn't enough resources to really keep them
19 safe.

20 Again, this is -- I mean I'm not going to accuse
21 in negligence on any of that without understanding the
22 facts, but I think there's an opportunity here to be really
23 proactive and ensure safety, so I just want to press the
24 point on.

25 CHAIR HOCHSCHILD: Yeah. Please, Commissioner

1 Monahan?

2 COMMISSIONER MONAHAN: And I apologize that this
3 happened while my -- I had some computer problems -- and
4 maybe Commissioner Vaccaro started down this road, and you
5 Vice Chair Gunda have continued down this road. And so I
6 ask the team, Shawn, could we have an analysis of how the
7 lessons learned in this particular case could or should
8 apply more broadly to the fleet?

9 MR. PITTARD: Yes.

10 COMMISSIONER MONAHAN: And that's not something
11 I'm assuming you can answer right now?

12 MR. PITTARD: I can say, yes we will do that.

13 COMMISSIONER MONAHAN: Okay.

14 MR. PITTARD: And thank you, Commissioners, and
15 Commissioner Vaccaro for your question earlier. Which is
16 that just to let you know that we sent a letter from the
17 CPUC, a joint letter CEC, CPUC, to all combined cycle power
18 plants in this state, the CPUC and CEC jurisdictional, to
19 make them aware of this incident. So that was our first
20 step in the outreach, so it was a letter from me and from
21 my colleagues, my counterpart Lee Palmer at the CPUC.

22 And as you know in our compliance monitoring and
23 enforcement program we're always trying to figure out,
24 "What do we need to be looking out for?" We jumped on
25 wildfires, took care of problems there. This appears to be

85

1 the issue in front of us right now. We know there are over
2 100 of these combined cycle power plants in the state, so
3 yes we will focus on that. The good news it's work plan
4 time, I might be coming and asking for more resources.

5 (Laughter.)

6 CHAIR HOCHSCHILD: Okay. Okay, unless there's no
7 other -- of course, I would just say the reason we just
8 spent an hour on this. and the reason that all five
9 Commissioners went down to personally do a site visit and
10 we focus so much, is just all in the spirit of never having
11 this happen again and getting ahead of it.

12 I do want to thank everyone for acting in good
13 faith to come together to support that goal, and I have
14 already seen some very encouraging progress and learnings.
15 And we're all on the same team ultimately about the safe
16 operation of our systems.

17 So with that I welcome a motion on this item from
18 Commissioner Vaccaro.

19 COMMISSIONER VACCARO: Thank you. I move
20 approval of this item.

21 CHAIR HOCHSCHILD: Commissioner McAllister, would
22 you be willing to second?

23 Commissioner McAllister: I'll second.

24 CHAIR HOCHSCHILD: All in favor say aye.

25 Commissioner Vaccaro?

1 COMMISSIONER VACCARO: Aye.

2 CHAIR HOCHSCHILD: Commissioner McAllister?

3 COMMISSIONER MCALLISTER: Aye.

4 CHAIR HOCHSCHILD: Vice Chair Gunda?

5 VICE CHAIR GUNDA: Aye.

6 CHAIR HOCHSCHILD: Commissioner Monahan?

7 COMMISSIONER MONAHAN: Aye.

8 CHAIR HOCHSCHILD: And I vote aye as well. Thank
9 you all for coming.

10 We're going to actually take the next item out of
11 order, and I'd like to do it before lunch given a time
12 pressure that Commissioner Vaccaro has. And then some
13 issues that may come up with the Governor's Office at lunch
14 that may delay us, so I'd like to take Item 6 now if that's
15 all right? And then we will break for lunch after that.

16 So if we could welcome the staff up who are going
17 to present Item 6, the California State Lands Commission.
18 Hi, Rhetta.

19 MS. DEMESA: Hello, good morning. Can folks hear
20 me?

21 CHAIR HOCHSCHILD: Yeah, go ahead.

22 MS. DEMESA: All right, can we get the slides
23 pulled up for Item 6, please? While they're doing that,
24 good morning, Chair and Commissioners. My name is Rhetta
25 deMesa and I work in Land Use and Infrastructure Planning

87

1 Unit in the Siting, Transmission and Environmental
2 Protection Division.

3 I am presenting for your consideration today an
4 interagency agreement with the California State Lands
5 Commission in the amount of \$200,000. This agreement and
6 the associated funding will support the State Lands
7 Commission selection of consulting services to conduct a
8 screening analysis of the feasibility of locating a new
9 port along the central to southern coast of California to
10 support offshore wind activities. Next slide, please.

11 California has some of the best offshore wind
12 resources in the country and floating offshore wind is
13 poised to be a promising source of renewable energy
14 generation for the state. In addition to providing
15 renewable energy the development of floating offshore wind
16 will diversify the state's energy portfolio and provides an
17 opportunity for good paying jobs and statewide economic
18 benefits.

19 However, given the size and expected scale of
20 floating offshore wind components existing studies
21 demonstrate that California's current port facilities may
22 not currently be equipped to support offshore wind
23 activities. To do so would require significant investments
24 to upgrade and expand their existing infrastructure and
25 capabilities. To better understand how this state might

1 maximize the full benefits of floating offshore wind
2 development California needs to understand what existing,
3 redeveloped, and/or new infrastructure can be available to
4 support offshore wind deployment.

5 The Energy Commission, State Lands Commission,
6 and Bureau of Ocean Energy Management, or BOEM, are
7 currently conducting a port inventory that builds on
8 existing assessments to better understand the
9 infrastructure and needed improvements at existing port
10 facilities to support offshore wind activities. The
11 agreement being considered today will complement the port
12 inventory by exploring the opportunities and constraints of
13 waterfront locations outside of existing the port system to
14 support offshore wind development. Together these efforts
15 will help inform offshore wind planning considerations and
16 follow-on analytical studies.

17 Funds for this agreement would come from the
18 2021-2022 state budget as part of the interagency offshore
19 wind budget appropriation. Next slide, please. Thank you.

20 Through coordination with the State of
21 California, including an extensive outreach and stakeholder
22 engagement process, BOEM has planned for wind energy
23 development in federal waters off the coast of California.
24 BOEM has initiated the next step in their process to
25 advance into the leasing phase for two areas: one off the

1 north coast -- a little bit hard to see on the map there --
2 but near the City of Eureka, and one off the central coast
3 near the cities of Cambria and Morro Bay. Together these
4 wind energy areas have the potential to generate up to 4.6
5 gigawatts of renewable energy.

6 Studies indicate that the build-out of offshore
7 wind in these areas will require ports, or a combination of
8 ports, that can support the assembly, fabrication,
9 installation and maintenance of offshore wind turbines and
10 related components.

11 At the March CEC Business Meeting, a \$10.5
12 million grant to the Humboldt Bay Harbor, Recreation and
13 Conservation District was approved to support the
14 district's plan for developing an offshore wind terminal in
15 the port of Humboldt Bay to support offshore wind
16 development in the Pacific and is in close proximity to the
17 Humboldt Wind Energy Area.

18 However, additional work is needed to better
19 understand the opportunities and locations for port
20 infrastructure, both at existing and new ports and new port
21 facilities, to support offshore wind development in the
22 central coast so that the state can best compare approaches
23 and tradeoffs to different infrastructure options. Next
24 slide, please.

25 The Energy Commission and California State Lands

1 Commission will coordinate closely in selecting a
2 contractor to conduct the screening analysis to identify
3 potential locations for and assess the feasibility of new
4 port facilities between San Francisco and Long Beach
5 capable of supporting offshore wind development activities
6 in the Pacific region and near the Morro Bay Call Area off
7 the central coast.

8 Considerations for feasible locations will
9 include but are not limited to the current use or non-use
10 of waterland and upland space, technical, logistical, and
11 engineering constraints, current owner and/or operational
12 structures, as well as potential environmental and cultural
13 impacts.

14 In addition to furthering the state's assessment
15 of offshore wind opportunities and constraints as they
16 relate to the BOEM leasing process Assembly Bill 525
17 requires the Energy Commission in coordination with other
18 federal, state, and local agencies and a wide variety of
19 stakeholders to complete a plan to improve waterfront
20 facilities that could support offshore wind development
21 activities. Findings from this analysis will support the
22 development of that waterfront facility improvement plan
23 and will support the development of an offshore wind
24 strategic plan, helping to further the efforts of the CEC
25 to meet their requirements of AB 525. Next slide, please.

91

1 Staff recommend approval of the proposed
2 interagency agreement with the California State Lands
3 Commission and to adopt staff's determination that this
4 project is exempt from CEQA.

5 With that I would be happy to answer any
6 questions. I also want to note that we have Jennifer Mattox
7 with the California State Lands Commission also available
8 here today to answer any question. Thank you.

9 CHAIR HOCHSCHILD: Thank you so much. Let's go
10 to public comment on Item 6.

11 MS. MURIMI: Thank you, Chair. The instructions
12 for individuals that are in the room, you can go ahead and
13 use the QR code posted in the back of the room. You can
14 also reach out to the Public Advisor at the back of the
15 room as well and fill out a blue card or get assistance
16 with a QR code.

17 For individuals on Zoom go ahead and use the
18 raised-hand feature. It looks like a high-five or an open
19 hand at the bottom of your screen or device. And for those
20 on the phone go ahead and press *9 to raise your hand.

21 And we have Varner Seaman, apologies if I have
22 misstated your name. Go ahead and state and spell your
23 name, give your affiliation if any. And you may begin your
24 comment.

25 MR. SEAMAN: Hi, my name is Varner Seaman, and

1 that's spelled V as in Victor-A-R-N-E-R and my last name
2 is Seaman, S-E-A-M-A-N. I'm speaking today as a
3 representative of American Clean Power Association
4 California, where I serve as the Offshore Wind Program
5 Director.

6 First, we want to thank the Commission and the
7 staff of the Commission, as well as the State Lands
8 Commission staff, and Jen Mattox in particular, for taking
9 the time and the initiative to work on this near-term study
10 of port capacity and to conduct this analysis for the path
11 forward for creating both the port capacity that's
12 necessary to serve the central coast offshore wind
13 development areas. This work is both timely and it's
14 essential for helping California being able to develop an
15 offshore wind industry and to meet the Senate Bill 100
16 climate goals. We very much support the staff
17 recommendation in taking the initiative to move forward
18 with this early study.

19 With that said we would encourage the Energy
20 Commission to consider increasing the funding that's
21 available for these near-term studies from the proposed
22 \$200,000 to \$500,000 that would match both the complexity
23 of this work, as well as the opportunity of this moment.
24 California does not currently have the port capacity
25 necessary to support the construction of multiple

1 commercial scale offshore wind farms, especially on the
2 central coast where there is available sea space and
3 transmission infrastructure necessary to build at least
4 three gigawatts of offshore wind capacity by the crucial
5 2030 climate action deadline and then time to address the
6 ongoing energy reliability needs as other resources are
7 retired.

8 The state has partnered with the Humboldt Bay
9 Authority for investments in serving the north coast and
10 the southern offshore of Oregon development area. But the
11 Humboldt Bay area is roughly 80 hours by sea to the Morro
12 Bay wind energy area and isn't a suitable option for
13 central coast development. It's critical that we initiate
14 a multiple port strategy backed with sufficient funding to
15 support infrastructure upgrades that identifies available
16 port areas that can support offshore wind development.

17 The report under consideration today has the
18 potential to set us on a course for efficient and focused
19 investments and upgraded over the next several years to
20 support central coast wind energy area development.

21 With that said, we think that the precedent that
22 we've seen with other studies that have been funded in
23 roughly the same amount that we're looking at here have
24 been appropriate for one port location. Given that we need
25 to look at multiple port locations to support the central

1 coast and to make sure that we have available port
2 capacity, and with the complexity that's going to need to
3 take place over the next several months, we do think that
4 there is an argument for being able to expand the resources
5 available for this near-term study.

6 As well, we think that it makes the best use the
7 funds as we look forward to the further AB 525 studies that
8 needs to take place.

9 So again thanks very much to the staff on this
10 work, we really appreciate the leadership of the CEC on an
11 ongoing basis for offshore wind. And thank you for your
12 time today.

13 MS. MURIMI: Thank you.

14 Seeing no other comments, Chair, back to you.

15 CHAIR HOCHSCHILD: Okay. Thank you for those
16 comments and Rhett for that presentation.

17 I really want to commend Commissioner Vaccaro for
18 all the hard work on this issue. It's, I think, one of the
19 most exciting things happening in the State of California
20 and certainly at the Energy Commission. And this is a
21 banner year for us having police sale (phonetic) happen,
22 the first police sale on the west coast this fall. And
23 then setting the state planning goal in June, and just all
24 the hard work. I really want to acknowledge the Siting
25 team and Eli Harland and, of course, the incredible work

1 Commissioner Douglas did in the last few years to get us to
2 this point in collaboration with all of the R&D investment
3 and work as well.

4 And this is precisely the kind of task that
5 really helps smooth the path for a successful rollout.
6 This is exactly the kind of thing. I'm really encouraged
7 we're doing this now and I know it's got a lot of strong
8 support, so I just want to thank everyone. And with that
9 let's kick it over to Commissioner Vaccaro for some
10 comments.

11 COMMISSIONER VACCARO: Well I share your
12 enthusiasm. It is an exciting time, and thanks Rhetta, for
13 the presentation. I appreciate, Chair, that you
14 acknowledged others on the team. My Advisor Eli Harland,
15 others who also supported I think Rhetta in moving forward
16 with this. I see Jen Mattox in the back of the room. I
17 really want to acknowledge Jen and the State Lands
18 Commission for their partnership in moving this item
19 forward for consideration today.

20 Normally I can shoot from the hip when I speak,
21 but I did have some prepared remarks here, because this is
22 momentous. And I want to get this out the right way, so
23 just bear with me. It's brief, but I'm going to read from
24 my paper today.

25 So, first of all, as Rhetta mentioned wind

1 development in federal waters of the California coast is
2 poised to be a critical piece of the state's renewables
3 portfolio. And floating offshore wind requires us to have
4 an industrialization mindset, because of the scale of the
5 technology and because it's unlike most renewable energy
6 technologies that we've deployed to date. Having
7 waterfront locations in California to support the
8 deployment is key to ensuring that we realize the in-state
9 economic benefits of deploying these technologies and
10 ensuring that we can deploy the technology and capture the
11 economic benefits requires significant analysis to compare
12 the tradeoff with different resource buildout scenarios.
13 That's why we have been pursuing, and we are going to
14 continue pursuing studies of the capabilities of existing
15 port assets in California.

16 So the analysis that Rhetta has been discussing
17 presents an initial screening. That's what's involved
18 here, is an initial screening of where a new port could be
19 located to support floating technology in California. But
20 to be clear, it's about exploring the concept of the
21 possible development of a new port. What we are not doing
22 is saying that there must be, or that we believe there
23 needs to be a new port, and I think that's a point that
24 really bears underscoring. So we expect this analysis to
25 help in our understanding of the different priorities and

1 alternatives that can be compared alongside other potential
2 port strategies.

3 And I want to note that the comment made by
4 Varner Seaman, I mean that's something that we've heard.
5 We've heard it from industry. We appreciate the idea that
6 there should be more funding put forward for studies. And
7 I think as we move forward at some point that might make
8 sense, but at this point I think it's hard to imagine the
9 idea of a new port anywhere on the California coast,
10 especially for a single purpose. And so while I think
11 that's something to keep in mind as we move forward as we
12 sit here today, I support the funding that's being
13 recommended for this study and ask for the support of my
14 fellow Commissioners as well.

15 CHAIR HOCHSCHILD: Thank you.

16 Any other comments from my colleagues? Vice
17 Chair Gunda, yes.

18 VICE CHAIR GUNDA: Yeah, I just wanted to say
19 thank you to Commissioner Vaccaro's comments. I think I'm
20 not so good at showing my excitement, but this is exciting.
21 It's a really exciting prospect getting the SB 100 analysis
22 kind of calls for a large amount of offshore wind
23 development. And I think we're just taking this
24 incremental and incredible steps forward.

25 And I thank you, Chair, for acknowledging

1 everybody who's been involved. And I just want to share my
2 thanks to you too for advancing this conversation over the
3 last several years. So, Rhetta, good luck, thank you for
4 being on the team on this issue and I look forward to
5 supporting everybody.

6 CHAIR HOCHSCHILD: Thank you. I would just say
7 this is going to happen in California and I have been very
8 fortunate, I've visited now four offshore wind projects in
9 four different countries. I saw the one in Rhode Island,
10 which is the first one in the United States. I went to the
11 first floating wind project, which is in Portugal. As well
12 as the one that's a floating wind project in Aberdeen,
13 Scotland, and then in Denmark. And you see this stuff at
14 scale, and it is really inspiring. And the UK, as I've
15 noted already has 10 gigawatts installed to date and
16 they're going to 40 and their load is only 60 gigs. So I
17 mean it's a mature technology.

18 Of the marine technologies -- we get asked this a
19 lot -- of the marine technologies, tidal and wave projects,
20 this is by far the most mature, so it is the right one for
21 us to focus on. I think it's really ripe for California
22 and just very, very grateful to Commissioner Vaccaro and
23 her team for all their diligence here and happy to support
24 this.

25 So with that I'd invite a motion on Item 6 from

1 Commissioner Vaccaro:

2 COMMISSIONER VACCARO: Yes, I may have approval
3 of this item.

4 CHAIR HOCHSCHILD: Commissioner McAllister, would
5 you be willing to second?

6 Commissioner McAllister: Second.

7 CHAIR HOCHSCHILD: All in favor say aye.

8 Commissioner Vaccaro?

9 COMMISSIONER VACCARO: Aye.

10 CHAIR HOCHSCHILD: Commissioner McAllister?

11 COMMISSIONER MCALLISTER: Aye.

12 CHAIR HOCHSCHILD: Vice Chair Gunda?

13 VICE CHAIR GUNDA: Aye.

14 CHAIR HOCHSCHILD: Commissioner Monahan?

15 COMMISSIONER MONAHAN: Aye.

16 CHAIR HOCHSCHILD: And I vote aye as well, Item 6
17 passes unanimously.

18 Colleagues, if it's okay with everyone I'd like
19 us to reconvene in an hour at 1:15. And we'll take up Item
20 4 at that time, thanks.

21 (Off the Record at 12:14 p.m.)

22 (On the Record at 1:19 p.m.)

23 CHAIR HOCHSCHILD: Molly, can you hear us?

24 MS. O'HAGAN: Yes, good morning, or good

25 afternoon I suppose now. Good afternoon, are we ready to

1 dive in?

2 CHAIR HOCHSCHILD: Yes, please go ahead.

3 MS. O'HAGAN: All right. Well good afternoon,
4 Chair and Commissioners, my name is Molly O'Hagan. And I'm
5 with the Energy Research and Development Division. I'm
6 here today seeking Commission approval for the 2021 EPIC
7 Annual Report.

8 Like every year we take this opportunity to take
9 stock of the program's achievements. With the past couple
10 of years we've developed a set of program level metrics to
11 evaluate the success of EPIC. These metrics are included
12 in the annual report, but I wanted to highlight a couple of
13 the more significant ones today. You'll see on -- next
14 slide, please.

15 You'll see here on this slide, this year EPIC
16 surpassed \$1 billion in investment in California innovation
17 overall. This encompasses over 400 projects across the
18 state.

19 Now the EPIC framework is structured around this
20 concept of an innovation pipeline and within this pipeline
21 is what we call the "valleys of death," where the private
22 sector isn't willing to invest in technologies at various
23 stages along this pipeline. So one of the things we try to
24 do with EPID funds is target funding towards those valleys
25 of death.

1 So one of the critical metrics we use then to
2 assess our administration of EPIC is how much private
3 sector investment companies have attracted after initial
4 EPIC support. As you can see on the slide, an additional
5 \$7.8 billion in private investment was raised by businesses
6 after receiving EPIC support. And this still doesn't tell
7 the full story, because the pathways to commercialization
8 for many startups is through exits. These include mergers,
9 acquisitions, or secondary transactions. And exits benefit
10 the startups, larger companies, and repairs by accelerating
11 scaleup. So EPIC has seen a 55 percent increase in
12 successful exits by startup companies funded through EPIC
13 for 2021. Next slide, please.

14 Additionally, 67 percent of EPIC technology,
15 demonstration, and deployment funds have gone to under-
16 resourced communities. Those include projects located in
17 and benefiting disadvantaged communities and low-income
18 communities. Those are shown on the map in orange and
19 green respectively, and projects located in and supporting
20 California Native American tribes, as noted by the blue
21 boxes on the map. Next slide, please.

22 So here's a bit of a window into where we've kind
23 of prioritized our EPIC investments. As you can see, we've
24 more or less organized EPIC into six different investment
25 areas. These include the entrepreneurial ecosystem,

1 resiliency and safety, building decarbonization, grid
2 decarb, and decentralization, I&A innovation, and
3 transportation electrification. And on this slide, you can
4 see the total EPIC dollar amounts invested in each of these
5 areas since the program's inception in 2012.

6 So now, as we've done in previous years, we've
7 selected six projects to highlight in our EPIC report that
8 not only maybe typify each of these investment areas but
9 have really demonstrated some major achievements in the
10 past year. Next slide, please.

11 So the first project I'd like to highlight comes
12 from our entrepreneurial ecosystem. As we know, achieving
13 our state's building decarb goals will require innovation.
14 One key arena will be to increase onsite generation
15 capabilities while also reducing energy demand. Existing
16 PV options are predominantly roof-based, which is a
17 challenge for tall commercial buildings with limited
18 rooftop space. This is where Ubiquitous comes in.

19 Ubiquitous Energy has developed a transparent PV
20 window coating called UE Power™ that can harness solar
21 energy from glass surfaces to generate electricity, all
22 while remaining visibly indistinguishable from traditional
23 windows. The window coating also features low emissivity
24 and low solar heat gain, increasing the energy efficiency
25 of the window.

1 So in 2019, Ubiquitous began with a 1x1 inch
2 prototype. Now during the course of their second award
3 from EPIC, this time with the RAMP program, and they claim
4 to be able to manufacture a 14x20 inch solar window by the
5 time it wraps up in 2024. So when you consider that
6 approximately 26 billion square feet of coated
7 architectural glass is produced and installed annually,
8 that glass is coated in EU Power's coating, we could
9 generate an additional 60 gigawatts.

10 In fact, the company estimates that their
11 technology has potential to deliver an annual 20-terawatt
12 hours combined energy savings and renewable energy
13 generation to the state, so that would be roughly 10
14 percent of California's total electricity needs. Next
15 slide, please.

16 Next from our portfolio of projects focused on
17 resiliency and safety is this effort from Humboldt State
18 University. In 2019, more than 1 million Californians lost
19 electricity during the largest public safety power shutoff
20 in the history, as you all recall.

21 Humboldt County customers experience longer
22 outages than other California customers on average. Just
23 in 2022, or 2020, the amount of time Humboldt customers
24 experienced sustained outages was seven times that of other
25 California customers. This is largely because the north

1 coast experiences frequent flooding, landslides, and
2 wildfires, and is especially vulnerable to earthquakes,
3 tsunamis and sea-level rise.

4 Roads into and out of Humboldt County are often
5 closed by weather-related events, so this makes the
6 California Redwood Coast Humboldt County Airport and the
7 adjacent U.S. Coast Guard Air Station, critical lifelines
8 to the community.

9 To give you a sense of the impact, the Coast
10 Guard Station is responsible for search and rescue
11 operations for 250 miles of mostly rural, rugged coastline
12 there. And the county airport serves about 50,000 flights
13 annually, including commercial, private and emergency
14 medical flights. Both can be seriously crippled by
15 outages.

16 So Humboldt State University and still the first-
17 ever front-of-meter, multi-customer, 100 percent renewable
18 microgrid in California. The microgrid supports 20
19 customer meters, including the county airport and the coast
20 guard station, has begun to operate unmanned and fully
21 automated on fully dispatchable resources.

22 Currently, the microgrid is serving as a testbed
23 for both technical and non-technical barriers, exploring
24 tariff models and the like that will support California's
25 advancement of microgrid integration.

1 Once completed I'll add the microgrid is intended
2 to have advanced islanding capabilities. Next slide,
3 please.

4 Next, I'd like to highlight SkyCool Systems, a
5 company founded in 2016 I believe, part of our portfolio
6 of building decarbonization projects.

7 So now for the tens of thousands of supermarkets
8 and cold storage facilities here in the U.S., approximately
9 60 percent of their electricity use goes into powering
10 refrigeration systems. These are 24/7 loads. This causes
11 facility operators to spend hundreds of thousands into the
12 millions each year on electricity.

13 So while there are technologies out there that
14 reduce electricity use for commercial and industrial
15 refrigeration, they often require increased water usage
16 and/or they necessitate expensive replacements of
17 compressors and condenser equipment.

18 Enter SkyCool Systems. So this was originally
19 funded under CalSEED, but now SkyCool's cooling panels
20 exploit radiative cooling, allowing surfaces outfitted with
21 the panels, typically rooftops, to dip below the
22 surrounding air temperature without water evaporation. A
23 single SkyCool panel saves two to three times as much
24 energy as a solar panel given the same area is able to
25 generate. And it's designed to mount with conventional

1 solar bracketing, so no special equipment there.

2 Additionally, it works effectively both day and
3 night and can be used as an add-on to air conditioning and
4 refrigeration units.

5 For refrigeration systems integrated with SkyCool
6 panels, there's a 10 to 40 percent improvement in
7 efficiency, all without the use of refrigerants with
8 global-warming potential. Impressively, one grocery store
9 owner reported \$3000 a month in electricity bill savings
10 after installing the panels.

11 So in 2021, SkyCool was awarded \$3.5 million from
12 the ARPA-Es SCALEUP program to help accelerate their tech.
13 Amazingly, ARPA-E described their technology as, and I
14 quote, "game changing in the area of cooling." Next slide,
15 please.

16 So next we have RCAM Technologies, who have been
17 working to advance wind generation via 3D printing.

18 So in 2020 wind accounted for over 7 percent of
19 California's energy generation. By midcentury wind
20 resources are projected to supply more than 22 gigawatts of
21 electricity. But getting there will be a lot easier with
22 taller wind turbine towers, able to tap into those stronger
23 wind resources that are available at greater heights. The
24 problem is turbine towers are constrained by transportation
25 limitations like large-diameter towers that may not fit

1 under bridges, overpasses, or traffic signals, so
2 conventional turbine tower heights tend to be capped at
3 roughly 80 meters.

4 But RCAM, with the help of UC Irvine, has
5 developed an innovative 3D printing manufacturing
6 technology that has demonstrated the feasibility of
7 segmental tower construction onsite, thereby circumventing
8 transportation limitations and allowing for taller turbine
9 towers that capture more energy. In fact, this increased
10 height translates into more than a 20 percent increase in
11 turbine energy capture when you compare RCAM turbine
12 towers, which measure in at about 140 meters to that
13 conventional 80-meter tower.

14 So this technology could enable a potential
15 tenfold increase in the speed of wind energy deployment, a
16 significant leap towards SB 100. And this project has
17 garnered attention and additional funding from the National
18 Science Foundation, the DOE, the National Offshore Wind R&D
19 Consortium and the Carbon Trust. They look to advance the
20 technology and its manufacturability. As it stands their
21 goal is to actually be able to fabricate the new tower
22 onsite in less than a day. Next slide, please.

23 So from our industrial and agricultural portfolio
24 we have AgMonitor, who first began working with EPIC back
25 in 2015. So our state proudly produces more than a third

1 of the nation's veggies and two thirds of its fruit as just
2 part of the state's agricultural exports. In 2019, alone
3 California's ag exports amounted to more than \$21 billion.
4 But as we know, our farmers are having to contend with
5 shrinking freshwater reserves and higher water and energy
6 costs.

7 So AgMonitor's software ag service is leveraging
8 existing smart meters and using advanced data-mining
9 techniques to provide farms and facilities with 100 percent
10 water measurement coverage, enabling customers to manage
11 energy costs across meters, and overall helping improve
12 irrigation and fertigation by helping users identify
13 problems, find solutions and track results.

14 With the software now tracking 120,000 acres in
15 California, they reported that growers were able to reduce
16 water and electricity use by an average of 9 percent and 13
17 percent respectively without impacting crop yields.

18 As of 2020, AgMonitor has also expanded the use
19 of its technology to enable California growers to irrigate
20 outside the peak demand times. So this tech was deployed
21 on over 10,000 acres of farmland as part of an EPIC
22 demonstration, and they were able to successfully achieve a
23 permanent load shift of 3 megawatts as of August of 2021.
24 They're also on track to achieve a full 7 by the end of
25 2022. Next, please. Thank you.

1 So lastly, from our investment area dedicated to
2 transportation electrification we have Cuberg. They
3 recognize that lithium-ion technology has started to
4 plateau in some ways. Current lithium-ion batteries have
5 limits in energy density that constraint battery
6 performance in the automotive and aviation sectors.
7 Unfortunately many emerging approaches to improve battery
8 performance suffer from major challenges with scalability
9 and/or incompatibilities with the established manufacturing
10 processes.

11 But Cuberg's lithium metal battery system
12 radically increases energy density up to 48 percent,
13 enabling greatly increased range and capacity for electric
14 vehicles and aircrafts. And it also opens the door for
15 future opportunities for heavier-duty transportation.

16 So Cuberg has reported that their battery
17 technology enables a 70 percent increase in range as
18 compared to the standard EVs on the market, which is about
19 250 miles. And as a result of their EPIC award, Cuberg can
20 now produce roughly 3,000 battery cells per month.

21 And in 2020 they were verified by the DOE's Idaho
22 National Lab.

23 Excitingly in 2021, Cuberg was acquired by
24 Northvolt, a large Swedish battery manufacturer. Northvolt
25 holds a \$15 billion agreement with the Volkswagen Group to

1 be their primary battery suppliers, so Cuberg is now
2 leading Northvolt's U.S. operations from here in
3 California. Next slide, please.

4 Now that concludes our featured projects for
5 2021, but it was a big year for EPIC in many other ways.
6 Among them in 2021, we submitted the Fourth EPIC Investment
7 Plan. And in the meantime the EPIC Interim Plan was
8 approved.

9 With that approval we've been able to set to work
10 on a series of funding opportunities shown here that we
11 hope to release this year in 2022. Among them are
12 opportunities focused on the advancement of prefabricated
13 zero-carbon homes, opportunities to hopefully improve the
14 evaluation of resiliency investments for the electricity
15 sector, as well as opportunities focused on vehicle-to-
16 building backup power, and more. I'll just note that these
17 opportunities will be posted online on the Energy
18 Commission website and on empowerinnovation.net as they
19 become available. Next slide.

20 And with that I thank you for your time. Staff
21 recommends the approval of the 2021 EPIC Annual Report and
22 I'm happy to answer any questions.

23 CHAIR HOCHSCHILD: Thank you, Molly, that was
24 terrific. It always gets my heart pumping seeing all the
25 great stuff we're doing and the breadth of the work, so

1 that was terrific.

2 Let's go now to public comments on Item 4,
3 Dorothy.

4 MS. MURIMI: Thank you, Chair.

5 So once again folks that are on Zoom go ahead and
6 use the raised-hand feature if you'd like to make a
7 comment. It looks like a high-five or an open hand at the
8 bottom of your screen and/or device. Folks that are
9 calling in, go ahead and press *9 if you'd like to make a
10 comment. And folks that are in the room, go ahead and use
11 the QR codes or reach out to the Public Advisor at the back
12 of the room if you'd like to make a comment.

13 We'll give that one moment. Again, if you're on
14 Zoom use the raised-hand feature, it looks like a high-five
15 at the bottom of your screen or device. Seeing no raised
16 hands, Chair, back to you.

17 CHAIR HOCHSCHILD: Thank you, Dorothy.

18 Well, let me just again thank the whole team,
19 Jonah and Molly and everyone else on the EPIC team who
20 contributed to the breadth of this work. And I really
21 wanted to pay tribute again to Laurie ten Hope. This
22 brings to fruition what she worked for years to do, and to
23 get us this point of really being on the cutting edge of so
24 many needed clean energy solutions. And last week I
25 believe was her official retirement from the Energy

1 Commission. What a class act.

2 And Drew, I did have a request for you, which I
3 think for younger employees coming into the Energy
4 Commission now, particularly as we've been remote for to
5 two years, I would love to have her come back in. And
6 maybe you could assemble a group of other Energy Commission
7 employees who've been here for a long time and have seen so
8 much, Bill Pennington and others. I'm sure you could put
9 together a little panel just kind of reflecting back on
10 what it takes to be successful at the Energy Commission and
11 lessons learned and highlights and stuff.

12 Just reflecting on Laurie this week, I'm very
13 mindful of how much we've all benefited, and the state has
14 benefited from her tenure. And I'm so, so grateful to have
15 been privileged enough. I know of all my colleagues share
16 this here. We all feel so lucky to have had the time we
17 did working with her here at the Energy Commission, so just
18 I hope that we can find a time to maybe bring her back.

19 So yeah, literally every single one of these
20 projects, Molly, that you walked through from larger wind
21 turbines to solar glass to everything else, this just makes
22 me incredibly proud of the work. There's really nothing I
23 can think to enhance it. It's really comprehensive.

24 The only thing I would note, interestingly, I did
25 a visit up to -- we did some tribal consultations and

1 meetings, Linda Barrera and Jen Martin-Gallardo and Katrina
2 Leni-Honig and I two weeks ago. And I learned the name
3 "Humboldt State University" is no more. It is now "Cal
4 Poly Humboldt." They are now polytechnic, so that was
5 exciting to see.

6 So anyways, just a standing ovation here from my
7 side on this. And I'd just open it up to other comments
8 from Commissioners, anyone wishing to -- Commissioner
9 McAllister?

10 COMMISSIONER MCALLISTER: Yeah, absolutely. So
11 again thanks, Molly, for a great presentation.

12 It's so nice to sort of be a part of that team
13 and help see all the great things you're doing and also
14 help ideate going forward. And there's just such fertile
15 terrain in the staff, in the R&D Division, are just so
16 dedicated and capable.

17 And I would certainly second the kudos to Laurie.
18 She is such a unique mix of clarity of thinking and care
19 and support for staff and just respect. Just grace I guess
20 is really the word, in everything she did, and but still
21 being kind of very assertive and innovative and
22 pathbreaking at the same time. And that's a pretty rare
23 combination.

24 I would say before we bring her back let's give
25 her a chance to sleep in for a couple weeks. But she

1 leaves an amazing legacy and it's just been -- I knew her
2 somewhat before, I had seen her certainly in public, public
3 speaking and just at meetings before I even came to the
4 Commission. I went out, occasionally did work in front of
5 the Commission. And just was always impressed from the
6 get-go. And so that was a couple decades ago, and I think
7 just let her legacy goes further back than that. But just
8 really, really a solid foundation to build on. I know
9 Jonah and Virginia and the rest of the team are doing that.
10 And your presentation, Molly, reflected all of that
11 groundbreaking work.

12 I actually did -- I was in New York last week and
13 I'll say was at a Bloomberg New Energy Finance event. And
14 they had a lunch gathering together of what Bloomberg's
15 team thought were some really pathbreaking energy
16 innovations. And there were a couple projects there that,
17 at least at least one and I think a second, that we at some
18 point had put some funding into.

19 One of them was a really innovative, is a really
20 innovative air conditioning technology that uses saltwater
21 and shows a lot of promise. Potentially much more
22 efficient than standard ACs and just a better footprint and
23 portability and all sorts of advantages, including
24 generating a little bit of water along the way through
25 dehumidification, which obviously we need in California as

1 well.

2 So just our net is way wider. The net we cast, I
3 think, is way wider often than we sometimes realize, and
4 the footprint goes far beyond California in terms of where
5 our technologies can be most useful. Obviously, that's one
6 that could be useful in California, but it also could be
7 very appropriate for the Southern U.S. and other humid
8 places, developing countries. It would be an effective AC,
9 low energy, low power AC technology that would be very
10 appropriate for developing countries, so a really amazing
11 broad footprint,

12 So all this is to say I very much appreciate
13 adoption of the approval of this item and the annual
14 report, so thank you.

15 CHAIR HOCHSCHILD: Thank you. Any other --
16 Commissioner Vaccaro?

17 COMMISSIONER VACCARO: I (indiscernible).

18 CHAIR HOCHSCHILD: No, okay good.

19 Commissioner Monahan?

20 COMMISSIONER MONAHAN: Well, first I've got to
21 pile on the kudos to Molly. That was a great presentation
22 and really, I think we were all like inspired by each one,
23 so thanks for doing such a compelling presentation. I'm
24 sure that took some time to prepare and it was really
25 great, so to the team and to you.

1 And I think we all just feel so much pride about
2 the investments made in the R&D space and just this sense
3 that we're trying to really invest in the technologies that
4 are going to help us out of this climate crisis. And it
5 was just really great to see the range, the breadth and
6 depth.

7 And as the transportation person, I'm excited
8 about how transportation is figuring more large as we see
9 the DER capability of transportation electrification, so
10 just thanks to you and the team and I look forward to
11 approving this.

12 CHAIR HOCHSCHILD: Commissioner Vaccaro?

13 COMMISSIONER VACCARO: Thank you. So yeah, I'll
14 pile on all the kudos and just say this presentation is one
15 that I look forward to every year. I feel like I occupy
16 some of the darker corners of the building and I don't
17 always have visibility into the work of ERDD. And so
18 whenever things are presented at the business meeting, but
19 especially when we get this retrospective. It's just as
20 you said Commissioner Monahan, I mean it does fill us all,
21 I think, with pride for the work that we do.

22 And something that I am a bit more closer to in
23 the ERDD, space is the work that the staff does, not only
24 in getting the money out but really the fiscal part of it,
25 the stewardship of the public funds. Those are things that

117

1 I have been closer to working with the legal team, working
2 with ERDD staff really making sure that the money that's
3 going out is spent as it should be. And when there are
4 problems bringing that to Commissioners, Audit Committee
5 and Drew as appropriate. And so I feel like we really have
6 a very tight system here.

7 And I'm going to give this shoutout to Jonah, who
8 although new, and although he's coming behind Laurie ten
9 Hope, he owns his own space, and he owns it well and is
10 showing tremendous leadership from what I've seen so far in
11 ERDD. And so anyhow I just love this presentation and I
12 love when we do this every year.

13 CHAIR HOCHSCHILD: Well said.

14 Vice Chair Gunda.

15 VICE CHAIR GUNDA: Yeah, I just want to echo
16 everybody's comments. I similarly come from not so well-
17 lit corners of the Commission. (Laughter.)

18 But I just want to say, really, congratulations
19 to the EPIC team and I'm just going to share my thoughts on
20 Laurie. Laurie had been a mentor to me before I joined
21 here. I looked up to her when I was at UC Davis applying
22 for EPIC grants and really enjoyed her coming and talking
23 about what EPIC was doing. So just, Laurie, you've been a
24 tremendous friend and a colleague and inspiration, so good
25 luck to everything. And I'd love for you to come back and

118

1 continue to coach not only the new staff joining but me as
2 well as we move forward.

3 And I also want to just kind of highlight the
4 importance of the ERDD. I, both from experience of getting
5 grants from the ERDD and Commission at large, but really
6 what ERDD has done over time has really established CEC as
7 the clean energy investment vehicle for the state. A
8 trusted partner to provide this funding in a thoughtful
9 manner as Commissioner Vaccaro said, fiscal kind of
10 stewardship. But also like thinking through thought
11 leadership, so I just want to thank the Chair and
12 Commissioner McAllister's leadership of the entirety there.

13 And finally, Molly, a great presentation by you.
14 It was really well put together. I also look towards ERDD
15 for new ideas, especially on reliability, and ERDD has as a
16 huge source of those innovative ideas always flowing out.
17 So thank you all for your incredible work and continuing to
18 move CEC forward and the state forward and the incredible
19 job you do in bringing this all together. Thanks.

20 CHAIR HOCHSCHILD: Commissioner McAllister?

21 COMMISSIONER MCALLISTER: Yeah, I just want to
22 add one thing. One element of I think the success of ERDD
23 is their ears, they're listening. I look forward to our
24 periodic meetings just with staff where we just spitball
25 ideas. And they're probing, they're always sort of seeing

1 where the frontiers are in trying to gather ideas for the
2 next investment plan. And they do that across the board
3 with all these different stakeholders and innovators. And
4 they're listening and they're putting the pieces together.
5 And they're just as a division, have really developed this
6 culture of openness to new ideas.

7 And they just sort of cogitate and put some order
8 to and figure out how we can push these various frontiers.
9 And that is a really highly developed skill and I think
10 they just do that so well. And that's core to innovation
11 and core to finding these solutions that California needs
12 to be able to do, go where we need to go. And so I really
13 appreciate that sort of sixth sense that they seem to have
14 to really, really figure out which are the key ideas and
15 really leverage those ideas and for progress, so thanks.

16 CHAIR HOCHSCHILD: Yeah, I'd build on that.
17 Yeah, I think one thing to keep in mind for the past 20-
18 plus years we've had governors in California that believe
19 in climate and the importance of that. And we've had just
20 great support for two decades now for this research work.

21 That has not been the case always with the
22 federal government. We've actually kind of whipsawed
23 pretty severely actually with our federal investment in
24 this space. And so the institutional knowledge, the
25 consistency, it's really helped keep the momentum and the

1 clean energy field across all these different topic areas.
2 And I'm just very mindful of the value of that and the
3 collective institutional knowledge that's represented.

4 When you think about our roles and we talk a lot
5 about the fact we're the fifth largest economy in the
6 world, but we're also the second fastest growing economy in
7 the world after China, and so to simultaneously be growing
8 at a healthy clip and be pioneering all these new water-
9 saving, energy-saving measures and have them scale is just
10 incredibly valuable. It's really, for me, it's why I want
11 to work in state government. I'm not interested in
12 actually -- I mean, this is where I think we can have the
13 biggest impact is we can scale these things. And I just
14 see so much potential.

15 Molly, just in the various technologies you
16 walked us through today, for those to go big so thank you
17 to the whole team.

18 And I did have one last question before we move
19 this item, which is if I'm wondering if you or someone else
20 -- Anthony, anyone else who's here to just speak to sort of
21 how do we distribute this report? How do we get the word
22 out? What is the strategy to get this story told
23 effectively?

24 MR. NG: Good afternoon, Chair, Anthony Ng of the
25 Research and Development Division. So the annual report is

1 submitted to the Legislature and the Public Utilities
2 Commission at the end of the month following approval at
3 this business meeting, if it's approved. And from there we
4 work closely with the Media Office to distribute this,
5 disseminate and distribute the report.

6 I think over the years we've taken the EPIC
7 Annual Report from kind of a lengthy, administrative-type
8 document into a much more condensed, with a visually
9 appealing kind of eight to ten pages format. And so that
10 is the strategy that we've gone forward this way and so
11 that'll be I think we think a nice digestible kind of easy
12 handout that we can spread widely.

13 CHAIR HOCHSCHILD: Great. Well, I look forward
14 to hearing how that goes and working with the Media Office
15 too. If there's an opportunity for a special media
16 briefing on this kind of thing to make use of it. I really
17 applaud the focus on simpler, more readable, digestible
18 report format. And actually telling the story of the
19 program through the lens of these different technology
20 examples. And those measures and the visuals of them are
21 really effective. So thank you Molly, and thank you
22 Anthony.

23 With that I'd entertain a motion on Item 4 from
24 Commissioner McAllister.

25 COMMISSIONER MCALLISTER: I move Item 4.

1 CHAIR HOCHSCHILD: Commissioner Vaccaro, would
2 you be willing to second?

3 COMMISSIONER VACCARO: Second.

4 CHAIR HOCHSCHILD: All in favor say aye.
5 Commissioner McAllister?

6 COMMISSIONER MCALLISTER: Aye.

7 CHAIR HOCHSCHILD: Commissioner Vaccaro?

8 COMMISSIONER VACCARO: Aye.

9 CHAIR HOCHSCHILD: Vice Chair Gunda?

10 VICE CHAIR GUNDA: Aye.

11 CHAIR HOCHSCHILD: Commissioner Monahan?

12 COMMISSIONER MONAHAN: Aye.

13 CHAIR HOCHSCHILD: And I vote aye as well, Item 4
14 passes unanimously.

15 We will turn now to Item 5, The Next EPIC
16 Challenge: Reimagining Affordable Mixed-Use Development in
17 a Carbon- Constrained Future.

18 MR. NG: Well, hello again. Good afternoon,
19 Chair, Vice Chair and Commissioners. My name is Anthony
20 Ng. I'm the Manager of the Energy Deployment and Market
21 Facilitation Office. Today I'm joined by my colleagues
22 Molly O'Hagan, Rachel Salazar and Molly Mahoney. And we
23 are here today requesting your approval of nine awards
24 totaling approximately \$9 million for our solicitation
25 titled "The Next EPIC Challenge: Reimagining Affordable

1 Mixed-Use Development in a Carbon-Constrained Future.”

2 Next slide, please.

3 Expected benefits to California from this
4 solicitation and these projects, as we'll discuss in more
5 detail throughout the presentation, basically boils down to
6 we're hoping to promote replicable designs and plans for
7 affordable zero-emission mixed-use developments. We
8 believe that these buildings, an example that we set, can
9 help improve grid reliability, improve and demonstrate the
10 value proposition of emerging grid interactive
11 technologies, as well as provide an economical pathway to
12 develop, decarbonize high-density and mixed-use
13 developments. Next slide, please.

14 So just as a bit of background we know that
15 climate change and housing affordability present two of the
16 starkest challenges for California today. Mixed-use
17 developments that place residential housing with commercial
18 uses offer an opportunity to increase the rate of housing
19 development without promoting urban sprawl. However,
20 decarbonizing these types of elements there is not a
21 technical or economically feasible way to do so given
22 today's commercial technologies and standard design and
23 construction practices.

24 Our solicitation titled “The Next EPIC Challenge”
25 is looking to address these challenges by funding a design-

1 build competition that seeks to challenge multi-
2 disciplinary teams to design and ultimately construct
3 mixed-use developments that incorporate four primary goals.

4 The first is that we want these developments to
5 incorporate the latest cutting-edge clean energy
6 technologies across onsite generation, storage and load
7 management, leveraging the innovations and funding that
8 we've supported in the EPIC program, for example.

9 We want these buildings and these developments to
10 use innovative tools for planning, designing, and
11 construction. Beyond the energy technologies themselves we
12 feel like these innovations can lead to lowering the cost
13 and time of planning and building these developments.

14 We want to ensure that these developments are
15 incorporating affordability and equity from the beginning
16 by incorporating and developing sustainable business models
17 that ensure there's a mix of market rate and affordable
18 housing, so that these new developments are not gentrifying
19 existing neighborhoods and pushing out existing residents.

20 And lastly, we want these developments to be
21 resistant to the impacts expected of climate change,
22 including the potential for extended power outages. Next
23 slide, please.

24 To ensure that we are achieving our goals we
25 asked our applicants to respond with -- we established a

1 set of minimum site and design requirements. These
2 requirements were developed through extensive collaboration
3 and stakeholder input from entities such as the architects,
4 building developers, community-based organizations,
5 technology developers, to ensure that we were both
6 ambitious in our requirements, but also realistic and what
7 the industry could develop.

8 For the site requirements, we wanted to be sure
9 that these developments were of mixed-use. That they
10 combine housing with some type of retail or some type of
11 commercial activity, be it retail, office space, or
12 recreational activities for example. We wanted to ensure
13 that a significant portion of the housing that was going to
14 be developed from these plans would be designated both
15 affordable housing, as well as reserved for low-income
16 units, again, to ensure that affordability and equity were
17 not forgotten about.

18 And lastly, we ensure that there was some
19 sufficient density, both in terms of minimal housing units
20 as well as residential units per acre, again, to promote
21 the higher density developments that we are aiming for.
22 Next slide, please.

23 For the design requirements, these focus a little
24 bit more on the energy technologies that we're looking to
25 promote through these projects. We wanted these

1 developments to be all-electric including all space-water
2 heating and any cooking, including any retail cooking that
3 might happen on the commercial side.

4 We wanted the buildings to have the ability to
5 island from the grid and the ability to prioritize
6 different loads and to power critical loads indefinitely
7 from the available onsite resources, again, promoting the
8 resiliency.

9 We wanted the building to be able to sustain its
10 peak load demand defined as, "demand from the hours of 4:00
11 to 9:00" through the combination of onsite generation
12 storage and load management. Again, we want these
13 buildings to be good citizens of the grid.

14 We wanted these buildings to kind of future-proof
15 and incorporate the ability to integrate with aggregation
16 platforms if those continue to propagate and expand where
17 the developments ultimately end up being.

18 And of course we wanted some integration of
19 electric vehicle integration, both with the grid and what
20 the building signals to ensure that parking that was
21 developed as part of the development would have that
22 capability, 20 percent, and for all other parking to be EV-
23 ready. Next slide, please.

24 These agreements will be executed in a two-phase
25 approach. The nine projects before you today are all part

1 of the Phase 1 design portion. We divvied up four groups
2 geographically across the state of California. And in
3 total twelve projects were selected, nine is before you
4 for consideration today. The remaining three will be
5 brought to the May business meeting.

6 But from these design projects in a couple of
7 years, as they conclude, these twelve projects will then
8 recompute for the potential to receive follow-on funding,
9 up to one for geographic groups so that they could receive
10 additional funding to build out the vision that they've
11 designed in the first phase.

12 So with that just wanted to give a brief
13 background on this solicitation. I will hand it over to
14 Molly O'Hagan who will go over the first set of projects
15 for consideration.

16 MS. O'HAGAN: Good afternoon, again. My name is
17 Molly O'Hagan and I'll be managing our Bay Area agreements.

18 So first up we have the City of Berkeley, one of
19 many cities in California that has only produced a small
20 fraction of the affordable low- and moderate-income housing
21 needed, so this has resulted in plummeting homeownership
22 rates and widespread displacement and vulnerable
23 populations.

24 The Berkeley Efficient and Resilient Mixed-Use
25 Showcase, or BERMUS for short, the proposed six-story plus

1 functional green roof space, 50-housing unit, 100 percent
2 permanently affordable all-electric ZNE building that will
3 provide commercial and community spaces, including the new
4 offices for the Homeless Action Center.

5 This project is being led by the Northern
6 California Land Trust, a legal entity that provides
7 affordable housing and facilities for low-income residents.
8 This project will serve a range of families and economic
9 brackets and will increase the amount of new low-income
10 affordable housing available in Berkeley by 39 percent.

11 Furthermore, the proposed ownership models for
12 the BERMUS units, which include below-market-rate
13 condominiums and limited equity-housing-cooperative units
14 will contribute to ownership and wealth-building
15 opportunities.

16 So the proposed microgrid intends to deliver
17 electricity to the grid during peak consumption hours as
18 well. Next, please.

19 Okay next is the Net Positive Resilient All-
20 Electric Affordable Housing at Pacific Station North
21 Transit Center in downtown Santa Cruz, led by EPRI. This
22 project is a proposed seven-story building with 94
23 affordable apartment units, as well a new state-of-the-art
24 METRO Transit hub. And it'll be heated platinum, ZNE
25 housing developed. And it's intended to revitalize a long-

1 depressed area linking downtown with the beach area tourism
2 district, which has been an area that's been identified as
3 one of the most vulnerable in the city to climate change.

4 The project is part of a culmination of more than
5 seven years of community input. And additionally this will
6 be the first of its kind of mass timber multifamily
7 building in the central coast. The holistic
8 decarbonization approach covers operational embodied air
9 transportation emissions.

10 The proposed one-megawatt solar PV array above
11 the bus-loading bays will provide zero-emission clean
12 energy supply for the common areas, residential units,
13 commercial and mixed-use spaces, electric bike stands, and
14 electric bus charging as the Santa Cruz Metro bus fleet
15 will eventually transition to all-electric buses.

16 Additionally, the design seeks to reduce the
17 urban heat island effect with green infrastructure. And
18 they're hoping to demonstrate the viability of a no-gas
19 line, mixed-use commercial space with retail food service.
20 They're examining the potential for a warming kitchen
21 considering a range of technologies, including induction
22 ovens or induction stoves, microwave ovens, steam trays and
23 insulated cookware.

24 So with that I'll pass the baton to my colleague.

25 MS. SALAZAR: Okay, can you hear me? Hello,

1 Commissioners. My name is Rachel Salazar and I'll be
2 presenting our project for Northern California and the
3 Central Valley.

4 First, ConSol will lead the design of a 100-unit
5 affordable housing space that will be located in Woodland's
6 new Research and Technology Park near UC Davis. The
7 concept incorporates state-of-the-art energy-efficient
8 solutions, flexible load management controls, as well as a
9 shared electric transportation program.

10 The team will assess the feasibility to install
11 bidirectional vehicle-to-grid charging stations and
12 providing energy storage batteries for each of the
13 residential units.

14 This project has already garnered community
15 support and the team will continue to engage with the local
16 affordable housing stakeholders regarding the design and
17 purpose for the common areas.

18 Some early ideas include educational services
19 provided by the local colleges and the California Coalition
20 for Rural Housing. Next slide, please.

21 Next up, Mutual Housing California will lead this
22 infill project for the design of a four-story permanently
23 affordable senior housing center in the historically
24 underserved community of South Stockton. The development
25 will include 59 units of residential and office space.

1 The team will evaluate advanced technologies,
2 such as façade-integrated PV, Gradient's Comfort air
3 conditioner and heat-pump system and innovative,
4 interactive grid technologies.

5 As part of a public, private redevelopment deal a
6 local community organization, known as STAND, has entered
7 into a purchase-agreement option with the city for the
8 property, and subsequently partnered with Mutual Housing to
9 coordinate and community engagement, as well as on site
10 management once it's built.

11 In response to community feedback the property is
12 adjacent to a community health clinic as well as public
13 transportation. And the team plans to use a third-party
14 certification process assessed by the social, economic and
15 environmental design network to further engage the
16 community throughout the project.

17 Next, we'll hear about our projects in Southern
18 California.

19 MS. MAHONEY: Good afternoon, Commissioners. My
20 name is Molly Mahoney, and I will be presenting the project
21 funded in the Los Angeles region.

22 First up Innovative Housing Opportunities, a
23 nonprofit housing developer, will lead the design to
24 replace an outdated office complex with affordable
25 apartment units in Santa Ana. The mixed-use portion will

1 include a new office space, as well as light retail.

2 A key innovation is to integrate Community
3 Electricity's mobile application for virtual power control.
4 The app allows residents to utilize a new form of energy
5 management to maximize onsite generation and reduce demand
6 during peak usage times. This will be accomplished through
7 the use of NREL's award-winning Foresee management software
8 that would supply real-time grid data.

9 It will also explore the use of advanced framing
10 systems that are more resource-efficient and offer more
11 space for cavity installation than conventional framing and
12 this could save floor and wall-framing costs by up to 30
13 percent. Next slide, please.

14 Next up is Jamboree Housing Corporation, a
15 nonprofit, affordable-housing developer, that will design a
16 mixed-use municipal center and residential facility
17 featuring 50 apartment units in San Juan Capistrano. The
18 project combines affordable housing with a new city hall
19 and has the support and financial commitment from the city
20 of San Juan Capistrano.

21 The apartments are intended for very low-income
22 individuals who are at risk for being homeless or have
23 experienced homelessness, including military veterans. The
24 project will engage and educate residents about the
25 building design components and emerging technologies

1 through direct outreach and the formation of a new resident
2 council specifically for them to support these residents.

3 The project will also incorporate an island-able
4 microgrid accompanied by onsite services that will inform
5 residents about how to use a smart system to control their
6 energy usage.

7 And with that next we will hear about the
8 projects from the San Diego region. Thank you.

9 MS. O'HAGAN: Okay, hello again. And I'll be
10 covering the projects in our last group, which covers the
11 Imperial Valley, Inland Empire and San Diego County.

12 The first project, we have here is led by the
13 National Community Renaissance of California, which is a
14 nonprofit affordable housing developer. This will be a
15 transit-oriented development in San Diego with 288
16 affordable housing units, the community center that will
17 also act as a resiliency hub, a childcare facility, and
18 retail spaces.

19 They plan for an emergency management system with
20 transactive platforms where residents can track real-time
21 energy use and can choose whether or not to participate in
22 demand-response measures based on the recommendations they
23 receive.

24 Lastly, the team proposes to use panelized bamboo
25 systems that creates a cavity wall which can be fully

1 insulated to improve thermal performance and reduce energy
2 consumption, although also offering the potential for time-
3 saving during the framing process. Next slide, please.

4 So this project is led by Communities for Global
5 Sustainability, which is a group of designers, architects
6 and community leaders. It will include 120 total units, a
7 community kitchen, a pocket park, and a public workforce
8 training center, all located in a designated transit-
9 oriented development zone.

10 The design will use a precut and packed kit of
11 parts to reduce labor costs, waste of time, and materials.
12 And the project will be including a building-integrated PV
13 system that generates electricity while also serving as a
14 weatherproofed cladding system that can be fitted on both
15 the roof and vertical walls. Next slide, please.

16 Okay, the last project for today is led by Family
17 Health Centers of San Diego and it will include 80
18 designated low-income units, as well as office spaces on
19 the ground floor. The design will focus on using recycled
20 shipping containers as well as offsite fabrication to
21 develop a system of modular construction that is both
22 replicable and scalable.

23 The site is in Barrio Logan, which is a power-
24 constrained pollution-burdened corridor located between I5
25 on one side and an array of bayfront industrial facilities

1 and ports on the other where cruise and naval ships dock.

2 So addressing pollution will require
3 electrification of local energy needs, which could enable
4 cruise ship shore power electrification and the
5 electrification of local industrial uses.

6 So by demonstrating smart grid strategies, the
7 project will seek to demonstrate replicable measures to
8 reduce infrastructure costs while eliminating local
9 maritime and industrial particulate issues. Next slide,
10 please.

11 So with that staff recommends approval of these
12 grant agreements and staff's findings that these projects
13 are exempt from CEQA. This concludes our presentation and
14 staff is available for questions, thank you.

15 CHAIR HOCHSCHILD: Perfect. Let's see, are there
16 public comments on Item 5?

17 MS. MURIMI: Thank you, Chair.

18 So instructions for everybody, for those in the
19 room you can go ahead and use the QR codes that are located
20 in the back of the room. You can also reach out to the
21 Public Advisor located in the back as well. For those on
22 Zoom go ahead and use the raised-hand feature. It looks
23 like a high five or an open palm and it should be at the
24 bottom of your screen or device. For those calling in you
25 can go ahead and press *9 to indicate that you'd like to

1 make a comment.

2 We have one commenter, Cody Baig, apologies if I
3 have misstated your name. Go ahead and state and spell
4 your name, give your affiliation if any and give your
5 comment. Cody Baig? (No audible response.)

6 We'll move on. We'll give that one moment and
7 move on to Mailon Rivera.

8 MR. RIVERA: Good afternoon, everyone,
9 Commissioners. My name is Mailon Rivera, M-A-I-L-O-N R-I-
10 V-E-R-A. I represent Communities for Global
11 Sustainability, or C4GS. And not only is this a glorious
12 day in California, but this is truly a momentous day for us
13 as a team. First, we'd like to recognize the fellow
14 recipients who, through this EPIC grant from the CEC will
15 also be able to continue their work in uplifting so many.

16 And we'd like to also thank our C4GS team. If
17 you're listening you gave your talents, your knowledge and
18 your time. And in so many ways you are a shining example
19 of the power of community and collaboration.

20 We're proud to be part of a model of communities
21 taking action towards innovative affordable housing and
22 normalizing a low-carbon society. But these projects are
23 part of a larger effort to create sustainable and
24 intentional clean energy generating communities throughout
25 California.

1 And we are grateful to the California Energy
2 Commission for this design grant and for recognizing the
3 need for equity and inclusion in generating new clean,
4 sustainable energy sources. This project will also be an
5 example for other cities to replicate.

6 Ultimately, we are building spaces of
7 partnership, of hope and opportunity, a haven for members
8 of our communities to get the support they need from their
9 own neighbors to help stabilize and rebuild their lives,
10 while for others it will simply, finally be a place called
11 home.

12 So ladies and gentlemen of the Commission on
13 behalf of the entire C4GS family, we say thank you. Thank
14 you to the California Energy Commission and the EPIC team
15 for this opportunity. And thank you for investing in a
16 carbon-positive future. We are extremely excited and proud
17 to be part of the next EPIC challenge. Thank you.

18 MS. MURIMI: Thank you.

19 We'll move on to Alan Woo. Alan Woo, go ahead
20 and state and spell your name, give your affiliation if
21 any.

22 MR. WOO: Yes, I am a Planning Commissioner with
23 the City of Santa Ana. I also, for the last 25 years, have
24 been with a community action agency that has low-income
25 energy programs that serve low-income community to help

1 them to pay their bills because they overused their energy.
2 And I also chair the Low Income Oversight Board with the
3 CPUC.

4 And with that background, and also working in
5 environmental justice and the energy field, one thing I
6 keep seeing as a Planning Commissioner is that there is
7 low-income housing that are being built in our City of
8 Santa Ana that have good developers with good programs and
9 all that. But what I see missing at the table is the
10 empowerment of low-income community, for them to change
11 their lives individually and also for their family and for
12 the community in terms of being included in this green
13 revolution and zero-based carbon living. Doing things for
14 that community because they lack the resources, the
15 knowledge and frankly the money to kind of be included, is
16 troublesome to me. And just giving it to them as a passive
17 receiver seems to be troubling.

18 However, with the C4 ZEV (phonetic) project they
19 are including and empowering the residents and making them
20 be the (indiscernible) as they learn how to use the zero-
21 carbon technology and design in their housing. That's
22 something that is bold, that is inclusive, and is
23 different.

24 Normally, as also someone that sits on the
25 Clearinghouse CDFI Advisory Board I also noticed that often

1 we investors, and we invest using tax credits, don't think
2 of minority organization. And I hate to use that word,
3 because we should see people for their ability. In which
4 case knowing this group it's a very, very smart,
5 intelligent, well thought-out group to have created many
6 community partners.

7 And I do want you guys to look at them very
8 carefully in terms of like their ability, their desire and
9 their responsiveness to the community. I think they would
10 really add as a demonstration that this could be replicated
11 in other communities of color and disadvantaged
12 communities. Thank you very much for listening to me.

13 MS. MURIMI: Thank you, Alan.

14 Moving on to Casey Harris, please state and spell
15 your name and give your affiliation, if any. You may
16 begin. And please make sure to unmute on your end.

17 MS. HARRIS: Hi, can you hear me?

18 MS. MURIMI: Yes, we can.

19 MS. HARRIS: Casey Harris: Hi Casey Harris, C-A-
20 S-E-Y H-A-R-R-I-S and I am with Jamboree Housing
21 Corporation. Good afternoon, Chair and Commissioners, and
22 Deputy Director Steinbeck. I'm Casey Harris, the Senior
23 Project Manager with Jamboree. And on behalf of the City
24 of San Juan Capistrano and Jamboree I want to thank you for
25 the opportunity to participate in the EPIC challenge for

140

1 Paseo Adelanto.

2 We're excited to design a sustainable mixed-use
3 city hall and permanent supportive housing development in
4 San Juan. We think this will be an innovative example for
5 other cities to replicate, so with that I'm happy to answer
6 any questions you might have on the development.

7 MS. MURIMI: Thank you, Casey.

8 We'll move on to Cheryl McMurtry. Go ahead and
9 state and spell your name, give your affiliation if any and
10 make sure to unmute on your end.

11 MS. MCMURTRY: Hi, I'm Cheryl McMurtry, C-H-E-R-
12 Y-L M-C-M-U-R-T-R-Y. I just want to thank the -- I'm here
13 with Architectural Nexus on behalf of Mutual Housing and
14 Fairview Terrace Project. And I wanted to thank the Energy
15 Commission and the EPIC team for the opportunity to
16 participate in this grant. We're extremely excited about
17 the ideas and innovations that we're proposing and learning
18 and hearing from the other teams and groups as we all move
19 forward to a more socially just future, so thank you again
20 for giving us a chance to participate.

21 MS. MURIMI: Thank you, Cheryl.

22 We'll move on to Colleen Fitzsimons. Go ahead
23 and state and spell your name and give you affiliation, if
24 any.

25 MS. FITZSIMONS: Hi. My name is Colleen

1 Fitzsimmons, spelled C-O-L-L-E-E-N F-I-T-Z-S-I-M-O-N-S and
2 I'm the Executive Director at the San Diego Green Building
3 Council.

4 And we are super-excited to be partners in the
5 Communities for Global Sustainability project here in San
6 Diego. It's a great opportunity for us to build on our
7 mission to educate and inspire and collaborate within our
8 community. While also providing opportunities for our
9 community to put some hands-on experience with these
10 technologies as well as putting a pilot project into our
11 affordable housing market that shows how we can do zero-
12 carbon all-electric buildings affordably and replicate it
13 across the region and the state. So thank you so much for
14 this grant and this opportunity for our region to really
15 shine. Thanks.

16 MS. MURIMI: Thank you, Colleen.

17 Next, we'll go to Kirstin Berquist, apologies if
18 I have misstated your name. Go ahead and state and spell
19 your name, give your affiliation if any.

20 MS. BERQUIST: Hi. My name is K-I-R-S-T-I-N B-E-
21 R-Q-U-I-S-T. I'm an architect with Family Health Centers
22 of San Diego, and we are a nonprofit that has been serving
23 the San Diego County for over 50 years. Our flagship
24 clinic is located in the Barrio Logan neighborhood, which
25 is one of the most heavily polluted areas in San Diego

1 where things like childhood asthma are at a record high.

2 The idea of creating equitable and resilient
3 developments is a concept embraced by Family Health Centers
4 of San Diego as it aligns with our mission to provide high-
5 quality healthcare and supportive services to all.

6 We are excited to participate in the development
7 of a project that addresses climate change and housing
8 affordability. The EPIC grant program will allow us the
9 opportunity to take energy efficiency to the next level.
10 We see this as a chance to learn about new processes to
11 reduce our carbon footprint that we may not have been able
12 to explore otherwise. FHCS D would like to thank Chair
13 Hochschild and the members of the CEC for helping
14 underserved communities strive for the achievement of a
15 zero-emission mixed-use development. That's it.

16 MS. MURIMI: Thank you, Kirsten.

17 We'll move on to Debarshi Das, and apologies if I
18 have misstated your name. Go ahead and state and spell
19 your name and give your affiliation.

20 CHAIR HOCHSHILD: Dorothy, sorry, how many more
21 statements do we have?

22 MS. MURIMI: We have one more after this.

23 CHAIR HOCHSHILD: Okay, thank you.

24 MR. DAS: This is Debarshi Das, D-E-B-A-R-S-H-I
25 D-A-S and I'm here representing ConSol. On behalf of

1 ConSol and our incredible team of partners we're both
2 humbled and tremendously excited by this, to be able to
3 design an affordable zero-emissions mixed-use development,
4 including 100 all-electric residential units in the
5 Woodland Research and Technology Park located in the City
6 of Woodland.

7 This project will be a multifaceted and
8 integrative approach to resilience, mobility, education,
9 workforce development and enablement that will empower the
10 lower income community to truly thrive and flourish.

11 Our fantastic and trusted partners include the
12 California Coalition for Rural Housing, the UC Davis Center
13 for Regional Change, Community Energy Labs, Nuvve, Envoy
14 Technologies, Swell Energy, Skysource, The Hodgson Company,
15 Bardis & Miry Development and BSB Design.

16 ConSol and our partners would like to thank the
17 California Energy Commission for this generous funding, and
18 just as importantly thank the CEC staff for their tireless
19 dedication. We know you all worked very hard behind the
20 scenes to help our great state realize and accelerate the
21 shared future of equitable decarbonization.

22 We look forward to delivering the successful
23 design phase implementation of this project in preparation
24 for a potential build space to follow. Thank you very
25 much.

1 MS. MURIMI: Thank you. We'll move on to Matt
2 Winter. Matt Winter, go ahead and unmute. And state and
3 spell your name and give your affiliation.

4 MR. WINTER: Yeah hi, my name is Matt Winter.
5 I'm with LPA, we're the architecture firm --

6 COURT REPORTER: How do you spell the name?

7 MR. WINTER: -- M-A-T-T W-I-N-T-E-R. We are the
8 architecture firm that's doing the architecture and
9 engineering for the Newton project with Family Health
10 Centers in San Diego.

11 And I just want to keep this brief and say as
12 architects and engineers we really want to be able to
13 specify, and design engineer these emerging technologies,
14 but it's very hard to go into this space because they are
15 new things. And so I just wanted to express my
16 appreciation for this grant that lets us help bring these
17 things to the market and work, do the working-out part of
18 it, doing the designing part of it, doing the permitting
19 part of it, all that stuff that takes a little while for us
20 to figure out workout. So thank you. That's it.

21 MS. MURIMI: Thank you.

22 We'll move on to Steve Guttman. Go ahead and
23 state and spell your name, give your affiliation if any.

24 MR. GUTTMANN: Well my name is Steve Guttman,
25 it's S-T-E-V-E G-U-T-T-M-A-N-N --

1 MS. MURIMI: Apologies, Steve, but we can't hear
2 you very well.

3 MR. GUTTMANN: Any better?

4 MS. MURIMI: Yes, that's better, thank you.

5 MR. GUTTMANN: I'm sorry about that. So do I
6 need to respell my name?

7 MS. MURIMI: No, you can go ahead.

8 MR. GUTTMANN: Oh, okay. First, Molly, I want to
9 say thank you for that great presentation on this. We were
10 hoping we're a case study in a future year. I am a
11 Principal with Guttman & Blaevoet, consulting engineers in
12 San Francisco and I'm part of the Communities for Global
13 Sustainability team. I'm also a UCSB graduate, go Gauchos.
14 And I just want to say it is an incredible honor to hear
15 about all these projects and be one of the potential grant
16 recipients amongst this amazing group of people. We are
17 all trying to bend the curve and push the envelope on these
18 new technologies.

19 And you listed building-integrated photovoltaics
20 and prefabrication as part of our project, we're doing so
21 much more than that. Not only demonstrating some emerging
22 and new technologies, but also the heart and soul of this
23 project is about community engagement. I think that the
24 planner from Santa Ana made it clear that we haven't done
25 our job if we're not doing more than just building a

1 carbon-neutral building, but actually delivering a service
2 to a community and the carbon-neutral building is sort of
3 part of that package we're delivering.

4 So I want to express my gratitude and honor for
5 being part of a team. I hope we're successful at being
6 awarded the project and I look forward to coming back to
7 you with an incredible design. That's all, thank you.

8 MS. MURIMI: Thank you.

9 We move to Steph Groce, apologies if I have
10 misstated your name. Go ahead and state and spell your
11 name and give your affiliation, if any.

12 MR. GROCE: Great afternoon, my name is actually
13 Stephen, but my friends call me Steph like Curry but
14 without basketball skills, so you're all welcome to call me
15 Steph. That's S-T-E-P-H-E-N G-R-O-C-E, and I will be
16 speaking today as an individual, my own person here in the
17 City San Diego.

18 And as the former chairperson of the City of San
19 Diego's Human Relations Commission, and the most recent
20 architect of the City of San Diego's redistricting map, I
21 want to applaud the intentionality that our San Diego
22 bidders have put in. But specifically I'd like to call out
23 the C4GS team, because not only have they been very
24 intentional by looking at the complete community's
25 initiative by this state, but really weaving in the

1 knowledge transfer piece, and the off-grid decarbonization
2 that can happen within communities that have been
3 underserved for so many years.

4 I just wanted to extend my gratitude and
5 acknowledgement to Molly, great presentation on our part,
6 thank you very much. And the Energy Commission's
7 Commissioners for the tireless work that you do to make
8 sure that California has a carbon-neutral future. So thank
9 you very much, and we look forward to more innovation
10 coming out of not only our communities but the CEC itself.
11 Thank you.

12 MS. MURIMI: Thank you.

13 Chair, there no more comments.

14 CHAIR HOCHSCHILD: Okay, thank you.

15 Let's go to Commissioner discussion.

16 Commissioner McAllister, please go ahead.

17 COMMISSIONER MCALLISTER: Well great. Well wow,
18 okay this is awesome. I think all of us can get our hearts
19 racing a little bit when we're doing such an amazing,
20 compelling group of -- we're able to approve and sort of
21 get moving such an amazing group of projects.

22 Thanks to the team: Molly, Anthony, Rachel and
23 also Molly, right? Two Mollys? Okay, incredible. I
24 really appreciate your care and presentation for this and
25 walking us through each of these projects. They're

1 different, they are all moving us really steadfastly in the
2 right direction but they're different and they complement
3 each other and hang together really well as a group.

4 Thanks for everyone who called in. There is some
5 amazing leadership just on the phone right now, piped into
6 the Commission, and we're really grateful to have all of
7 you involved in these --

8 CHAIR HOCHSCHILD: Try and move off the pipes,
9 maybe wired into the Commission. (Laughter)

10 COMMISSIONER MCALLISTER: Yeah exactly, I guess
11 we're getting away from pipes.

12 But really just I mean, this moment reflects so
13 much effort and thoughtfulness in your particular
14 communities. And it ought to go without saying, but I'll
15 say it anyway, we are in a housing crisis. And so the
16 dovetailing of climate response with a response to the
17 housing crisis, and particularly getting more affordable
18 housing built in the right ways and right places with
19 relatively high density and proximity to services, all of
20 that, is just a part of quality of life.

21 And I think it just reflects the growing
22 understanding and acceptance that we have a series of kind
23 of complementary crises that we have to solve
24 simultaneously, that the climate crisis is not in a silo
25 because we have equity, we have all sorts of issues of land

1 use and equity, inequality, injustice that are long-term
2 social issues that go way far beyond energy, but that
3 really do require some solutions if we are to get to our
4 climate goals. And so I think that's something that's hard
5 to overstate and it means that this is going to really take
6 a lot of rolled-up sleeves and heavy lifting by all of us
7 in an ongoing way.

8 So an amazing group of counterparts here, and
9 grateful to see some communities that I'm relatively
10 familiar with in here as well.

11 And another thing I'd like to highlight is just
12 the -- and some of our commenters said that, and thank you
13 very much for these observations -- I think there's also an
14 acceptance or an understanding now as we really try to walk
15 the walk and in this case put significant resources into
16 sort of assisting, finding solutions of these problems
17 including the climate one, that we cannot be successful
18 without involvement from communities themselves and
19 community-based organizations that already have a trust of
20 the community. And I think that's just inherent to these
21 kinds of multifaceted problems that we have to address.

22 And so those of you on the phone, you're an
23 embodiment of that. And thank you for really being the
24 connective tissue that allows these projects to sort of go
25 from the state and happen at the local level, because they

150

1 just would not happen without you so lots of great
2 expertise represented in these projects.

3 I'll just finally just list out the things that
4 are particularly of importance to me. I think certainly
5 density, the smart-wiring, the resilience, some of the
6 details of these projects, the requirements of the notice,
7 or the opportunity, and then also the proposal that came in
8 dovetails really well with the BUILD Program. So we have
9 this new program to provide some resources for all-electric
10 new construction targeted mainly at low-income or
11 affordable multi-family housing, so I would imagine that we
12 could sort of be of further assistance to some of these
13 projects at least.

14 It's great to see a mass timber project and
15 discussion, or a built-in sort of treatment of the embodied
16 energy in carbon. Because that's the place we're going in
17 one aspect of the building code and agency, the agency
18 environment. Maybe not driven by the Energy Commission,
19 but embodied carbon is definitely the next frontier for us
20 to treat as a state.

21 And I guess, finally, the virtual power plant is
22 it's kind of a buzzword at this point. But Bloomberg just
23 came up with some data about how much investment is going
24 into that realm and last year was \$1.3 billion. And that
25 was almost double of the previous year. So we know that

1 this ecosystem, these approaches are going to grow very
2 quickly going forward, and so it's great to be future-
3 proofing these projects along those lines as well.

4 So with that I just want to congratulate the
5 team, all the bidders, all the awardees, for a job well
6 done and really looking forward to keeping track of where
7 these projects go. And hopefully checking some out in
8 person at some point in the not-too-distant future. So
9 with that I'll pass the mic back to the Chair.

10 CHAIR HOCHSCHILD: Yeah, thunderous agreement for
11 all that. And I would just add Commissioner McAllister and
12 I just had lunch and walked by the new State Office
13 Building where the Legislature and the Governor's Office
14 is, which is also an all-electric new building and really
15 nice to see this kind of building decarbonization happen on
16 state facilities. And I just wanted to give a tribute to
17 DGS and the hard work there. So I'm pleased to support
18 this. I don't know if there is any other comments.

19 Commissioner Monahan?

20 COMMISSIONER MONAHAN: I'll be very brief, but I
21 just want to congratulate the team and also say when we
22 talk about equity, I get frustrated when we say, "Oh it's
23 located in a disadvantaged or low-income community, check
24 the box. We've done it." And I want to say this ain't no
25 check-the-box. These are really thoughtful, just really

1 exciting to see this integration of affordable housing
2 which is so critical right now.

3 I mean, the situation that we're facing on the
4 streets with a lot of families not having a place to live,
5 I mean it is such a crisis. So the fact that we're
6 addressing R&D, which you don't think of is like really
7 touching people's lives in a direct and intimate way, and
8 this does. So just great projects, really exciting.

9 CHAIR HOCHSCHILD: Vice Chair Gunda.

10

11 VICE CHAIR GUNDA: Yeah, I just want to thank
12 Anthony, Molly, Molly, and Rachel. Thank you so much for
13 the presentation. And also, I think just Eric, for your
14 leadership over the years on the market facilitation side,
15 thank you so much.

16 And these are great projects as Commissioner
17 McAllister mentioned and Commissioner Monahan. I think it
18 just shows the diversity of projects that can really set up
19 a template for the future. I mean there's like so many
20 things that go into here that are not off the shelf, so
21 having some diverse options moving forward would really
22 benefit our state. And I think building decarbonization is
23 a huge, huge effort that we have. And really looking
24 forward to continuing to learn from you all, thank you so
25 much for your wonderful work.

153

1 CHAIR HOCHSCHILD: All right, thank you
2 everybody. Unless there's further comment Commissioner
3 McAllister would you be willing to move Item 5?

4 COMMISSIONER MCALLISTER: I move Item 5.

5 CHAIR HOCHSCHILD: And Vice Chair Gunda, would
6 you be willing to second?

7 VICE CHAIR GUNDA: I second Item 5.

8 CHAIR HOCHSCHILD: All in favor say aye.
9 Commissioner McAllister?

10 COMMISSIONER MCALLISTER: Aye.

11 CHAIR HOCHSCHILD: Vice Chair Gunda?

12 VICE CHAIR GUNDA: Aye.

13 CHAIR HOCHSCHILD: Commissioner Monahan?

14 COMMISSIONER MONAHAN: Aye.

15 CHAIR HOCHSCHILD: And I vote aye as well.

16 Commissioner Vaccaro had to depart for another
17 meeting so that item passes 4 to 0.

18 We already adopted Item 6, so we'll turn now to
19 Item 7, Zero-Emission Transit Fleet Infrastructure
20 Deployment.

21 MS. ODUFUWA: Yes. Good afternoon,
22 Commissioners. My name is Esther Odufuwa, an Energy
23 Commission Specialist I with the Fuels and Transportation
24 Division. It's good to be here today to see everybody in
25 person.

1 So today we are seeking approval for two
2 agreements resulting from the Zero-Emission Transit Fleet
3 Infrastructure Deployment Solicitation.

4 In July 2020 the CEC released the Zero-Emission
5 Transit Fleet Infrastructure Deployment solicitation, which
6 had about \$20 million available. And this is for large-
7 scale conversion of transit bus fleets to zero-emission
8 vehicles. And this one was from the fiscal year 2021-2022
9 Clean Transportation Program funding. We received 11
10 applications requesting over \$51 million.

11 Initially we were able to only fund four out of
12 the seven passing projects given the amount of the funding
13 that was available. But with the addition of funds from
14 the from the fiscal year 2021-2022 general funds that was
15 dedicated to medium-duty and heavy-duty we were able to
16 fully fund all the 7 passing projects totaling over \$36
17 million.

18 Four of these projects were presented at earlier
19 business meetings and one remaining project will be
20 presented at a future business meeting. Next slide.

21 The proposed projects will demonstrate large-
22 scale infrastructure projects, they will demonstrate
23 resiliency, and they will also provide best practices and
24 the key lessons learned for future replicability at other
25 transit agencies. These projects will help other

1 California transit agencies understand the technology that
2 may best work for them, work for their applications, their
3 routes, their environment, which will ultimately accelerate
4 meeting and exceeding the California Air Resources Board's
5 Innovative Clean Transit requirements, which requires this
6 transit fleet to transition their entire fleet by 2040.

7 The proposed projects will reduce greenhouse gas
8 emissions, motor vehicle emissions, they will also provide
9 air quality benefits to transit riders and the communities
10 that they will serve, which are often disadvantaged
11 communities and low-income communities and also priority
12 communities.

13 These projects will also potentially lead to the
14 creation of green jobs and help contribute to sustainable
15 economic growth and of course improve quality of life
16 within these various regions. Next slide.

17 The first agreement is with the City of Culver
18 City. And the goal of this project is to support the
19 transition of the city of Culver City's entire bus fleet to
20 100 percent zero-emission fleet by 2028. And to be able to
21 meet this goal, City of Culver City has established a
22 multi-phased approach, or a multi-phased project as part of
23 their zero-emission bus transition plan. So on that
24 particular project that is funded by the Energy Commission,
25 Culver City will install charging equipment that is needed

1 to support its first 36 battery electric buses.

2 The Culver City fleet operates annually for
3 approximately 953,000 miles and they use an equivalent
4 556,000 gasoline gallon equivalents of compressed natural
5 gas or CNG. So deploying these zero-emission buses in
6 place of the CNG buses, which is in their existing fleet
7 will prevent the release of the emissions, which will have
8 a considerable health impact on the local community.

9 So the city will be building like an overhead
10 structure that is used to support equipment such as a
11 charging pantograph which will be over the bus yard
12 depicted on this slide. And this will be able to support
13 automated charging of the buses.

14 Southern California Edison will be the one doing
15 the major vault at this site. They will do the
16 transformer, the conduits, and the city will develop the
17 charging specifications that is needed for this particular
18 project. The city will procure the equipment that will
19 meet Culver City's multiple transit bus fleet and the
20 manufacturers. And the system will be capable of managing
21 time of charging, charge duration, charge power, and the
22 number of concurrent chargers in order to manage utility
23 costs as well as support the grid's reliability. Next
24 slide.

25 This map identifies the locations in the service

1 area identified as low-income and disadvantaged communities
2 shown in red. Culver City bus ridership along this
3 corridor, which is shown in the green line includes
4 individuals using public transit for urban vocational,
5 educational and health services destinations. And this is
6 the primary and often only transportation option for these
7 individuals in this particular community. Next slide.

8 The second agreement is with Alameda-Contra Costa
9 Transit District, or AC Transit, and the goal of this
10 agreement is to upgrade the existing hydrogen refueling
11 station at the Oakland Seminary Avenue site. The existing
12 infrastructure currently serves only about 13 fuel cell
13 buses, but with this funding to date from this project it
14 will enable the operation of a large fleet of up to 60 fuel
15 cell buses. Initially, 20 of these fuel cell buses will be
16 placed in service by 2024.

17 So again, AC Transit plans to upgrade the station
18 to enable the increase in storage, there will be more
19 frequent deliveries of fuel at that site, and there will be
20 additional dispensers at this site. The new station will
21 allow fueling of two buses at any time and will be capable
22 of back-to-back fueling of the entire fleet within six to
23 eight hours. That's a great improvement from what they
24 currently have.

25 The aerial map shown on this slide provides a

1 visual context on where the hydrogen dispensers, shown on
2 the upper left, and the new equipment on the lower right
3 will be installed at the Division 4 site. Next slide.

4 Again, the zero-emission buses and the
5 infrastructure that will be installed will provide a
6 multitude of benefits for the district, and of course the
7 riders.

8 One other thing to note is that the Division 4 is
9 located in East Oakland and the fuel cell buses that are
10 serviced in this Division provide service to 55 percent of
11 the Disadvantaged Communities in the Oakland area. And
12 that will make it like a lifeline for many local residents
13 who rely on those buses for their daily necessities.

14 In addition, I want to say that there is a
15 substantial number of these bus routes shown on the slide
16 that are from this particular Division 4 yard, that will be
17 serving several other areas that are in DACs. And the bus
18 lines shown also provide connections to major job centers,
19 not just in Oakland there but in San Francisco and outside
20 San Francisco. Next slide.

21 So there are currently about 11,500 transit buses
22 in California that are actually required to abide by the
23 CARB's Innovative Clean Transit rule that requires, again,
24 for them to transition their fleet to zero-emission by
25 2040.

1 And additionally, California currently has only
2 16 (sic: 76 on slide) fuel cell buses. However, the 2029
3 Vision document by the California Fuel Cell Partnership is
4 envisioning a minimum growth path from 100 buses ordered in
5 2020 to over 25 percent of these total zero-emission buses
6 ordered by 2029, including the supporting fueling
7 infrastructure.

8 As of April 18th of 2022 there are about 58 open-
9 retail hydrogen refueling stations in California that are
10 funded by the Clean Transportation Program, the Volkswagen
11 Mitigation Trust Fund, and of course the private sector.
12 All these stations have the capability to serve more
13 than 36,000 light-duty fuel cell electric vehicles, which
14 exceeds the current 13,305 fuel cell vehicles.

15 We also have planned 179 stations that will have
16 the capability of serving more than 245,000 light-duty fuel
17 cell vehicles, of which at least 13 of those stations will
18 be able to serve both medium-duty and heavy-duty vehicles.

19 And the hope is that as the number of hydrogen
20 stations increase or expand station deployment should not
21 be a barrier to the near-term fuel cell bus deployment as
22 well as in addition to the light-duty fuel cell vehicles.
23 Next slide.

24 So staff recommends approval of these two grant
25 awards and adoption of staff's determination that these

1 projects are exempt from CEQA.

2 So thank you all for your time and consideration
3 of these items. Staff is available to answer any questions
4 you may have. And I believe Nick Szamet, Senior Management
5 Analyst from Culver City is on the call and Rolando Cruz as
6 well as Evelyn Ng from AC Transit. They are all available
7 on the call if you have any questions. Thank you.

8 CHAIR HOCHSCHILD: Thank you.

9 Dorothy, do we have public comment on this item?

10 MS. MURIMI: Thank you, Chair.

11 Quick instructions for everyone again. If you
12 are on Zoom, go ahead and use the raised-hand feature. It
13 looks like an open palm or a high five at the bottom of
14 your screen or device. If you are calling in go ahead and
15 press *9 to indicate that you'd like to make a comment.
16 And if you are here in person, go ahead and use the QR code
17 or check in with the Public Advisor at the back of the room
18 as well.

19 I see Eve Ng on Zoom. Go ahead and state and
20 spell your name and give your affiliation, if any, and
21 unmute on your end. You may begin your comment.

22 MS. NG: Hi. Good afternoon, Commissioners. I'm
23 Eve Ng, last name spelled N-G, shortest last name ever. I
24 am the Capital Planning and Grants Manager at AC Transit.
25 On behalf of everyone at AC Transit I would like to thank

161

1 the Commissioners who described -- helped us take
2 significant steps in our transition towards a zero-emission
3 fleet.

4 As we continue to purchase zero-emission buses we
5 also have to install for fueling or charging infrastructure
6 in order to operate these buses. Upgrading our hydrogen
7 station will allow us to increase our fueling capacity by
8 about three times and also provide resiliency for the
9 overall system. So we're really looking forward to
10 starting this project and greatly appreciate the part you
11 have played in getting us here.

12 We'd also really like to appreciate the CEC
13 staff, Esther, and Michelle, for with working us thus far
14 and we really look forward to working with them throughout
15 this project as well, so thank you so much.

16 MS. MURIMI: Thank you.

17 Next, we have Rolando Cruz. Rolando Cruz, go
18 ahead and unmute, state and spell your name and give your
19 affiliation, if any.

20 MR. CRUZ: Good afternoon, my name is Rolando
21 Cruz. The last name is C-R-U-Z. And I'm the Chief of
22 Transportation for the City of Culver City, one of the
23 recipients of this grant. So I want to start off with
24 saying thank you to the CEC for selecting Culver City and
25 supporting our transportation electrification project and

162

1 our goal of electrifying our city bus public transportation
2 fleet by 2028.

3 We are a small city of 40,000 people surrounded
4 by the City of Los Angeles, carrying over 5 million
5 passengers a year. Our City Council is in alignment with
6 the goal to reduce our reliance on fossil fuels and improve
7 the air quality of the greater Los Angeles area.

8 Besides the environmental and community benefits
9 we are excited about the operational costs that are
10 anticipated to be lower than the fossil fuel buses. So
11 with this grant it will help us build the expensive
12 infrastructure necessary to operate the buses. So again,
13 thank you for your vision for the State of California.

14 MS. MURIMI: Thank you.

15 Chair, there are no more comments.

16 CHAIR HOCHSCHILD: Okay let's go to Commissioner
17 discussion starting with Commissioner Monahan.

18 COMMISSIONER MONAHAN: Well, first of all I want
19 to say it's so nice to see you in person, Esther. I'm
20 like, "Wait, you're not on Zoom screen. You're not a
21 little Zoom square."

22 And you've seen these grants in the past. I just
23 think that the electrification of transit, it's in the
24 vanguard of heavy-duty electrification. And being able to
25 support these transit districts as they're struggling, I

1 think with the impacts of COVID and a lot of other
2 challenges facing transit districts, that this is a great
3 investment to support them as a zero-out emissions from
4 transportation and use this kind of innovative -- I think
5 especially in the case of Culver City --methods of charging
6 transit buses, so lots of good lessons learned. And I just
7 appreciate the leadership of both of these transit
8 districts in having really ambitious goals towards
9 transportation electrification.

10 CHAIR HOCHSCHILD: Thank you.

11 Well unless there are other comments are you
12 willing to move the item Commissioner Monahan?

13 COMMISSIONER MONAHAN: I move Item 7.

14 CHAIR HOCHSCHILD: Okay. Vice Chair Gunda, would
15 you be willing to second?

16 VICE CHAIR GUNDA: I second Item 7.

17 CHAIR HOCHSCHILD: All in favor say aye.
18 Commissioner Monahan?

19 COMMISSIONER MONAHAN: Aye.

20 CHAIR HOCHSCHILD: Vice Chair Gunda?

21 VICE CHAIR GUNDA: Aye.

22 CHAIR HOCHSCHILD: Commissioner McAllister?

23 COMMISSIONER MCALLISTER: Aye.

24 CHAIR HOCHSCHILD: And I vote aye as well. Item
25 7 passes 4 to 0.

1 Let's turn now to Item 8, Ultra-Low Carbon Fuel:
2 Commercial Scale Production Facilities and Blending
3 Infrastructure.

4 MR. NGUYEN: Hello everyone. Hello Chair, Vice
5 Chair and Commissioners. My name is Hieu Nguyen with the
6 Fuels and Transportation Division. Today staff is seeking
7 approval of three projects that were proposed for funding
8 under the Ultra-Low-Carbon Fuel: Commercial-Scale
9 Production Facilities and Blending Infrastructure
10 solicitation. Next slide, please.

11 Before I present the three projects, I wanted to
12 provide an overview of Grant Funding Opportunity-20-608.
13 Two areas of focus for this solicitation were to provide
14 support for projects that increase the in-state fuel
15 production and/or blending capacity of ultra-low-carbon
16 alternative fuels, defined as a fuel with a carbon
17 intensity score of equal or less than 30 grams of carbon
18 dioxide equivalent per megajoule. Proposed projects must
19 use commercially tested fuel production or blending
20 technologies and expand their fuel capacity by 1 million
21 diesel gallon equivalents or more per year. A total of \$9
22 million were awarded under this solicitation.

23 I will now be presenting three of the projects
24 that were proposed for funding under this solicitation.
25 There will be two fuel production projects and one fuel

1 blending project. Next slide.

2 The agreement with California Grinding is to
3 expand the capacity of California Grinding's waste
4 processing facility, including the construction and
5 commission of a commercial-scale fuel production facility.
6 The facility will process 250 tons per day of organic waste
7 materials to produce about 1.3 million diesel gallon
8 equivalents per year of renewable compressed natural gas.
9 A portion of the fuel produced from this project will be
10 used locally by the City of Fresno's waste haulers and
11 heavy-duty truck fleet.

12 The picture on this slide highlights California
13 Grinding's anaerobic digestion process of converting the
14 organic waste into renewable natural gas. On the left of
15 this slide, Dairy manure, green waste and food waste are
16 pre-processed before they are moved into the anaerobic
17 digestion system, seen in the center of this slide. This
18 system breaks down the feedstock to produce a raw biogas,
19 which is then cleaned and compressed by the biogas cleanup
20 system, seen on the right side of this graphic, into
21 renewable natural gas that will be injected into the
22 Pacific Gas and Electric natural gas pipeline. Next slide,
23 please.

24 The benefits of the California Grinding project
25 are to improve economic opportunities within disadvantaged

1 and low-income community in a series of ways. The project
2 will provide 29 new full-time equivalent jobs and increase
3 the supply of waste-derived low carbon or renewable fuels.

4 When the project is complete and operating at
5 full capacity the project is expected to displace about
6 55,000 metric tons of carbon emissions annually as well as
7 reduce criteria pollutants and toxic emissions by diverting
8 and utilizing locally sourced organic waste.

9 Once the facility is complete the project will
10 eliminate 6,000 truck trips to the landfill per year
11 through the onsite processing of the organic waste at this
12 facility. Next slide.

13 The second proposed agreement with SoCal
14 Biomethane, LLC is to support an expansion of an ultra-low
15 carbon fuel production facility. This project will produce
16 about 1.6 million diesel gallon equivalents of low-carbon
17 renewable natural gas as transportation fuel from food
18 waste and wastewater and displace over 18,000 metric tons
19 of carbon dioxide equivalents per year.

20 SoCal Biomethane will achieve this production
21 increase by improving, expanding, and refurbishing the
22 existing, on-site waste reception equipment; installing new
23 equipment to increase digester throughput without
24 constructing new digester tanks; and expanding and adding
25 resiliency to the existing gas treatment and RNG

1 compression equipment.

2 This slide shows the SoCal Biomethane fuel
3 production process. SoCal Biomethane will take an existing
4 idle anaerobic digestion system and upgrade it in a few
5 areas. The proposed upgrades are in blue, like the
6 thickening system and additional biogas storage. They will
7 also be expanding the biogas conditioning and upgrade
8 system. The items in green are their existing
9 infrastructure found on-site. Next slide.

10 The project will improve economic opportunity and
11 air quality within a disadvantaged and low-income community
12 by committing to creating 10 full time jobs and to stop the
13 flaring of biogas and converting this excess biogas into
14 pipeline-grade renewable natural gas at the Victor Valley
15 Wastewater Reclamation Authority facility. When the
16 project is complete and running at full capacity this
17 facility will reduce over 365,000 metric tons of carbon
18 dioxide equivalents over a 20-year period. Next slide.

19 Finally, our proposed agreement with AltAir
20 Paramount, LLC will support the upgrade and retrofit of
21 their existing fuel-blending terminal in Paramount
22 California to increase ultra-low carbon fuel blending
23 capacity in the state.

24 The project is also partially funded by a \$1.5
25 million dollar grant under the USDA Higher Blends

1 Infrastructure Incentive Program.

2 The picture along the top of this slide show the
3 current operation which is split between two locations.
4 Funding for this project will be used to connect the onsite
5 storage tanks with the adjacent Union Pacific rail line,
6 create piping modifications, repurpose an existing tank,
7 build spill containment, improve the biodiesel injection
8 system and vapor recovery system at the truck-loading area,
9 and install personnel safety infrastructure required by
10 code.

11 When complete the entire operation fuel transfer
12 process will be accomplished onsite without the need for
13 trucking fuel to the facility. The resulting efficiency
14 will increase throughput of biodiesel blending from 1.1
15 million to over 32 million gallons per year. Next slide.

16 In the short term this project will be supporting
17 hundreds of construction jobs in a low-income and
18 disadvantaged community.

19 In the long term, the project will eliminate
20 4,500 truckloads that would otherwise be transported on
21 community streets.

22 In addition, when the project is complete and
23 running at full capacity, the project is expected to
24 annually displace over 1.5 million metric tons of carbon
25 emissions. Next slide.

1 For our proposed agreement with California
2 Grinding staff has analyzed the lead agency City of
3 Fresno's environmental review documents and has found that
4 with mitigation this agreement will not have any
5 significant environmental impacts.

6 For this agreement staff is seeking your adoption
7 of CEQA findings and approval of the grant award in Item
8 8a. Michael Brown and Dennis Balakian with California
9 Grinding are attending this meeting remotely and are
10 available to answer any questions.

11 For the SoCal Biomethane agreement staff is
12 seeking your adoption of staff's findings that the project
13 is exempt from CEQA and your approval of the grant award in
14 Item 8b. Dr. Andrew Dale with SoCal Biomethane is
15 attending this meeting remotely and is available to answer
16 any questions.

17 And finally, for proposed agreement with AltAir
18 Paramount, LLC staff has analyzed the lead agency City of
19 Paramount's environmental review documents and has found
20 that, with mitigation, this agreement will not have any
21 significant environmental impacts.

22 For this agreement, staff is seeking your
23 adoption of CEQA findings and approval of this grant award
24 in Item 8c. Mohsen Ahmadi representing AltAir Paramount,
25 LLC is also attending this meeting remotely and is

1 available to answer any questions.

2 Thank you for your consideration. This concludes
3 my presentation.

4 Great, thank you. Let's go to public comment.

5 MS. MURIMI: Thank you, Chair.

6 Folks on Zoom can go ahead and use the raised-
7 hand feature to indicate that they'd like to make a
8 comment. That looks like an open palm or a high-five at
9 the bottom of your screen or device. If you are calling in
10 go ahead and press *9 to indicate that you'd like to make a
11 comment. And for those in the room go ahead and use the QR
12 codes in the back of the room or see the Public Advisor at
13 the back of the room as well.

14 We'll move on to Zoom right now. Peter Ward, go
15 ahead and state and spell your name and give your
16 affiliation if -- I see Peter Ward has dropped his hand.

17 Moving on to Michael Brown, go ahead and state
18 and spell your name and give your affiliation, if any.
19 Give me one moment here. We're having technical
20 difficulties, one moment.

21 MR. BROWN: Is that better? Can you hear me now
22 okay, Hieu?

23 MS. MURIMI: Yes, we can.

24 MR. BROWN: Okay, sorry. My name is Michael
25 Brown. And that's M-I-C-H-A-E-L Capital B-R-O-W-N. I'm the

171

1 Program Manager for California Grinding for the
2 implementation of the proposed project. The principals of
3 our company have been farming in the Fresno area for over
4 100 years, and for the last more than 20 years serving the
5 City of Fresno, other jurisdictions, and the agricultural
6 community with organic waste management.

7 As Hieu explained our project is to build an
8 anaerobic digester, which will take a combination of green,
9 food waste and manure and produce about 1.3 million gallons
10 per year of RCNG. Fortunately our site, which is currently
11 receiving these materials and processing them is adjacent
12 to a PG&E pipeline, giving us easy access to sell the RCNG
13 primarily to the city of Fresno and other identified users.

14 This project will create a number of jobs in this
15 highly unemployed area and will improve air quality. And I
16 wanted to point out that the American Lung Association
17 recently published their annual survey and rank the Fresno
18 area as the number one worst place to live from an air
19 quality standpoint, so that air quality improvement is very
20 important.

21 And also very importantly it will enable the city
22 of Fresno and surrounding jurisdictions to meet their waste
23 discharge, waste diversion requirements of SB 1383. So
24 thank you very much on behalf of California Grinding and
25 I'm happy to answer any questions if they do come up.

1 Thank you.

2 MS. MURIMI: Thank you.

3 Moving on to caller ending in 080, go ahead and
4 unmute on your end, and you can do that by pressing *6.
5 State and spell your name and give your affiliation, if
6 any. That's caller ending in 080. Again, you can make
7 your comment by pressing *6 to unmute on your end.

8 MR. BALAKIAN: Hello, hello.

9 MS. MURIMI: Hi.

10 MR. BALAKIAN: Can you hear me?

11 MS. MURIMI: Yes, we can hear you now.

12 MR. BALAKIAN: Oh, great. Thank you. Yes. Hi,
13 Energy Commission. My name is Dennis Balakian, D-E-N-N-I-S
14 B-A-L-A-K-I-A-N. I am with California Grinding.

15 First of all, I wanted to thank the California
16 Energy Commission for your consideration and support of
17 this project. As Michael mentioned unfortunately where
18 this project is located, we have the worst air quality
19 conditions in the entire nation. The American Lung
20 Association just conducted a study and ranks Fresno as the
21 worst in the entire country. Statistics state that over 50
22 percent of the children born here on our valley has some
23 sort of respiratory problems. It's also reported that if
24 you live in certain parts of the city, you can shave 12
25 years off your life.

173

1 We feel this project will not only improve the
2 efficiency of renewable energy production, but also
3 significantly impact the reduction of greenhouse gases and
4 be a game-changing for waste management.

5 I want to thank the team members who helped us
6 get us here today, I want to thank the Energy Commission
7 for your endorsement and consideration of our project. I
8 am also here available to answer any questions.

9 MS. MURIMI: Thank you.

10 Next, we have caller ending IN 403. Again, press
11 *6 to unmute on your end and give your name and
12 affiliation, if any. Again, that's caller ending in 403.
13 And again, to unmute press *6 on your end. (No audible
14 response.)

15 CHAIR HOCHSCHILD: Is there any more public
16 comment, Dorothy?

17 MS. MURIMI: No more public comment, Chair.

18 CHAIR HOCHSCHILD: Okay let's turn to
19 Commissioner discussions starting with Commissioner
20 Monahan.

21 COMMISSIONER MONAHAN: Well, just thanks to Hieu
22 for his thoughtful stewardship of these projects.

23 And I will say that we have a lot of vehicles
24 that are going to take a long time to electrify. Most of
25 our funds are going towards accelerating our zero-emission

1 transition which is real and happening now. But for a lot
2 of especially heavy-duty vehicles, they're going to be on
3 the road for a while. And so this is very, very specific
4 to reducing air pollution in heavy-duty engines.

5 I will say last week I had the pleasure of going
6 to the AltAir Paramount facility, which is one of three
7 refineries that's converted from an oil processing refinery
8 in California from oil to biofuels. And they are using our
9 grants to really scale up their operations and they say
10 they're going to have the most sustainable jet fuel in the
11 world coming out. And they're following the roundtable on
12 sustainable biomass principles that are coming out of the
13 EU, which are like the most aggressive that I'm aware of.
14 And just really United Airlines was there. And they are
15 really excited about these off-take agreements, so this
16 idea of how do we create an ecosystem of investments that
17 really helps us meet our short- and long-term goals, and
18 these grants sit in that package.

19 CHAIR HOCHSCHILD: Commissioner McAllister.

20 COMMISSIONER MCALLISTER: I guess this is an off-
21 the-cuff kind of question but I guess -- maybe it's more to
22 Commissioner Monahan -- but so the aviation sector, these
23 are the kind of hard-to-read sectors, these ones that are
24 being worked on but not quite going to scale and are still
25 kind of pricey, I wonder -- gas prices are really high,

175

1 there's a lot of volatility -- I wonder is your sense that
2 that's creating some urgency? Or that's opening some space
3 to sort of transition more quickly in, say, aviation?

4 COMMISSIONER MONAHAN: There's no doubt that high
5 fuel prices are driving, always drive actually, investments
6 in alternatives, so I would say yes in a broad sweeping
7 way.

8 I would also say, though the air travel industry
9 is particularly -- I mean, there's not easy solutions for
10 them in the zero-emission space. They see advanced
11 biofuels as kind of their only way for long-distance
12 travel. I mean, surprisingly batteries can, and fuel cells
13 can do short trips, but these long trips have to be met
14 right now by liquid fuels. And so they are hungry for
15 these fuels.

16 And what is interesting to me is that this
17 innovation is happening in California again. When we talk
18 about ZEV manufacturing, why is it happening here? This is
19 a very expensive ecosystem, but it's happening here. And I
20 think in part it's happening because of grants. In part
21 it's happening because of the Low Carbon Fuel Standard.
22 There's credits to be had. And so to me it's fascinating
23 that California is the place where this is happening. And
24 I talked a lot about it to them like, "Why here, why here,"
25 and it does seem like the policy environment that we have

176

1 is so unusual that no other place has it.

2 COMMISSIONER MCALLISTER: Great, that's really
3 helpful.

4 COMMISSIONER MONAHAN: I mean, we're the only
5 ones with the Low Carbon Fuel Standard. (Overlapping
6 colloquy) And California is a big state. There are
7 smaller states that have it.

8 COMMISSIONER MCALLISTER: Great. That's super
9 helpful, thank you.

10 CHAIR HOCHSCHILD: Vice Chair Gunda.

11 VICE CHAIR GUNDA: Yeah, thank you. First of all
12 it's nice to see you, it's been a long time. Thanks for
13 the presentation.

14 I think I just wanted to flag one thing that came
15 up today on the SB 1383, and I just wanted to make sure or
16 at least pass on the information that there has been a lot
17 of grants from the CalRecycle on this topic. I wanted to
18 just leverage our work on how we've been collaborating with
19 CARB on developing a lot of these solicitations and see if
20 there is an opportunity for us to continue to collaborate
21 with the CalRecycle on these kind of projects. It's just a
22 thought, right.

23 MR. NGUYEN: I'll pass that on to (indiscernible)
24 (Overlapping colloquy.)

25 I know that in the past when we did have a cross-

1 funding with CalRecycle, our funding focuses on the gas
2 upgrading technologies, not the actual anaerobic digestion
3 system costs. But yeah, I can definitely follow up with
4 you, Commissioner Gunda, on that question as well. And
5 nice seeing you again as well.

6 CHAIR HOCHSCHILD: Okay, unless there's any other
7 comments, I'd entertain a motion on Item 8 from
8 Commissioner Monahan.

9 COMMISSIONER MONAHAN: I move to approve Item 8.

10 CHAIR HOCHSCHILD: And Vice Chair Gunda, would
11 you be willing to second?

12 VICE CHAIR GUNDA: Second Item 8.

13 CHAIR HOCHSCHILD: All in favor say aye.
14 Commissioner Monahan?

15 COMMISSIONER MONAHAN: Aye.

16 CHAIR HOCHSCHILD: Vice Chair Gunda?

17 VICE CHAIR GUNDA: Aye.

18 CHAIR HOCHSCHILD: Commissioner McAllister?

19 COMMISSIONER MCALLISTER: Aye.

20 CHAIR HOCHSCHILD: And I vote aye as well. That
21 item passes 4 to 0.

22 We'll turn now to Item 9, Ideal ZEV Workforce
23 Pilot.

24 MR. RILLERA: Great. Good afternoon, Chair and
25 Commissioners. My name is Larry Rillera. I'm staff with

1 the Fuels and Transportation Division. I will be
2 presenting Item Number 9 and seek your approval for two
3 agreements as a result of this solicitation. Next slide,
4 please.

5 The IDEAL ZEV Workforce Pilot solicitation was
6 released in October of last year as a competitive
7 solicitation with over \$6 million in available funding.

8 Fourteen projects are proposed for award for a
9 total of \$6.5 million in funding. Two agreements are being
10 recommended for funding today.

11 This solicitation is a partnership with the
12 California Air Resources Board. CARB contributed \$1
13 million to project work and is building staff capacity for
14 clean transportation workforce training and development.

15 Benefits of the solicitation includes: The
16 development of ZEVs and ZEV infrastructure career pathways,
17 and high road training partnerships; the creation of jobs
18 including high quality jobs; advancing the ZEV industry;
19 and support for priority community solutions and skills
20 development.

21 Next slide. Thank you.

22 The first project is a proposed agreement with
23 the Community Resource Project located in Sacramento
24 California and is a community-based initiative.

25 The project will develop ZEV and ZEV charging

1 curricula, conduct training, and facilitate job placement.
2 Specific training will be provided in ZEV manufacturing and
3 EV charger installation, operation, and service.

4 To help ensure successful outcomes and job
5 creation, project partners include employers such as
6 Phoenix Motorcars and ChargerHelp, as well as a suite of
7 workforce partners such as the California Mobility Center
8 and the Sacramento Clean Cities Coalition. It is estimated
9 that 75 jobs will be created as a result of this project.

10 Staff would note that the State's CalEnviroScreen
11 4.0 tool ranks this project in the 93rd percentile in terms
12 of environmental and socioeconomic impacts. Next slide.

13 The second project is a proposed agreement with
14 the Kern Community College District located in Kern County
15 and is a regionally-based training initiative. The project
16 will develop EV charging curricula, conduct training for
17 electricians, and facilitate jobs in electrical
18 occupations. The project will also prepare electricians
19 for Electric Vehicle Infrastructure Training Program or
20 EVITP certification.

21 To help ensure successful outcomes and job
22 creation project partners including the San Joaquin Valley
23 EV Partnership, the Kern County Electrical Apprenticeships
24 in partnership with the International Brotherhood of
25 Electrical Workers and the National Electrical Contractors

1 Association.

2 Staff would note that the State's CalEnviroScreen
3 4.0 tool ranks this project in the 92nd percentile. Next
4 slide, please.

5 Staff recommends approval of the Community
6 Resource Project agreement and the Kern Community College
7 District agreement. Staff also recommends approval of a
8 determination that these actions are exempt from CEQA.

9 Thank you.

10 MS. MURIMI: Thank you, Chair.

11 Instructions for everyone once again. Folks on
12 Zoom go ahead and use the raised-hand feature, it looks
13 like a high-five at the bottom of your screen or device.
14 If you are calling in go ahead press *9 to raise your hand.
15 And for those in the room go ahead and use the QR codes
16 provided, as well as seeing the Public Advisor at the back
17 of the room.

18 I see a raised hand. And just to clarify, this
19 is for Item 9. Peter Ward, go ahead and state and spell
20 your name and give your affiliation, if any. (No audible
21 response.)

22 Seeing no comment, Chair, back to you.

23 CHAIR HOCHSCHILD: Okay, thank you. Let's go
24 back to Commissioner discussion starting with Commissioner
25 Monahan.

1 COMMISSIONER MONAHAN: Well, first I want to
2 thank Larry and your leadership generally on workforce
3 issues and equity, more broadly. I just feel like you've
4 been such a great partner, a visionary helping out on the
5 EV Strikeforce Work Group on this and just so many ways
6 that you've been sort of putting your values to work
7 literally.

8 And we've heard, we were at Battery Day last --
9 was it this last week Chair?

10 CHAIR HOCHSCHILD: Yeah, uh-huh.

11 COMMISSIONER MONAHAN: And heard from so many
12 companies that workforce is their biggest concern or one of
13 their biggest concerns, they have several. And I think I'd
14 love to talk with you and the team more about this.
15 Because I do think we should be thinking more deeply about
16 how do we expand the workforce here in California to make
17 sure we can keep these companies here and creating good
18 jobs in the process.

19 So just I strongly support these. They bring
20 equity together with workforce development and they're
21 really helping making sure that we have a ready workforce
22 that will get good jobs in this that ecosystem.

23 CHAIR HOCHSCHILD: Fantastic. All right, and I
24 think after this we go to our Business Meeting. And so
25 with that unless there's other comments from Commissioners,

1 I'd entertain a motion. (Overlapping colloquy.)

2 COMMISSIONER MCALLISTER: I want to say thank
3 you, Larry for that. It's really good to see you in person
4 as well. It's been a long time so appreciate your
5 leadership on this, thanks.

6 CHAIR HOCHSCHILD: Commissioner Monahan, would
7 you be willing to move Item 9?

8 COMMISSIONER MONAHAN: I move Item 9.

9 CHAIR HOCHSCHILD: Commissioner McAllister,
10 would you be willing to second?

11 COMMISSIONER MCALLISTER: I second Item 9.

12 CHAIR HOCHSCHILD: All in favor say aye.
13 Commissioner Monahan?

14 COMMISSIONER MONAHAN: Aye.

15 CHAIR HOCHSCHILD: Commissioner McAllister?

16 COMMISSIONER MCALLISTER: Aye.

17 CHAIR HOCHSCHILD: Vice Chair Gunda?

18 VICE CHAIR GUNDA: Aye.

19 CHAIR HOCHSCHILD: And I vote aye as well. That
20 item passes 4 to 0. Thank you, Larry.

21 We'll turn now to Item 10, the March 9th and March
22 24th Business Meeting Minutes. Are there any public
23 comments on Item 10?

24 MS. MURIMI: I'll give instructions once more.
25 Pardon me, one moment. So this is the portion of the

1 meeting where individuals wishing to make a comment on
2 information items or reports -- oh sorry, apologies.
3 Getting ahead of myself.

4 Now for individuals who are on Zoom or that would
5 like to make a comment go ahead and raise your hand, it
6 looks like a high-five or an open palm at the bottom of
7 your screen or device. For individuals who are calling in
8 go ahead and press *9 to indicate you'd like to make a
9 comment. And for individuals in the room go ahead and see
10 the Public Advisor at the back of the room as well.

11 I see one hand raised, Alan -- no, Peter Ward.
12 (No audible response.)

13 COMMISSIONER MONAHAN: Maybe press *6, you have
14 to press *6 to unmute, so maybe Peter, try that?

15 MS. MURIMI: All right, seeing no comment from
16 Peter, we can move on. No more comments

17 CHAIR HOCHSCHILD: Okay, good. Can we have a
18 motion Vice Chair Gunda for Item 10?

19 VICE CHAIR GUNDA: Yeah, I move Item 10.

20 CHAIR HOCHSCHILD: And Commissioner McAllister
21 would you be willing to second?

22 COMMISSIONER MCALLISTER: Second.

23 CHAIR HOCHSCHILD: All in favor say aye.

24 Vice Chair Gunda?

25 VICE CHAIR GUNDA: Aye.

1 CHAIR HOCHSCHILD: Commissioner McAllister?

2 COMMISSIONER MCALLISTER: Aye.

3 CHAIR HOCHSCHILD: Commissioner Monahan?

4 COMMISSIONER MONAHAN: Aye.

5 CHAIR HOCHSCHILD: And I vote aye as well. That
6 item passes 4 to 0.

7 Let's go now to Item 11, Lead Commissioner
8 Report. Why don't start with Commissioner Monahan's end.

9 COMMISSIONER MONAHAN: Okay, for those of you
10 that aren't really tracking the ZEV Dashboard, the Q1 data
11 came in and it's 16 percent, so woo-hoo highest-ever ZEV
12 sale shares. And that compared to 12 percent for 2021. So
13 you can see the trajectory, which -- and hopefully soon
14 we'll have data on medium- and heavy-duty vehicles. The
15 staff is working on that, they just have to work through
16 some data together with CARB before that goes live.

17 It'll be the first in the country to have medium-
18 and heavy-duty data. And I give Vice Chair Gunda the gold
19 star for having been the original, I think you were the
20 originator of the ZEV Dashboard with your team, so Quentin,
21 Jesse and Heidi, they've all been great.

22 And it just highlights the importance of what the
23 Governor is trying to do, which is move forward \$900
24 million for light-duty EV charging and Hannon and team and
25 I've been helping too, we've been reaching out to various

185

1 stakeholders trying to trying to come up with the best plan
2 possible to make sure that Californians who are hit by high
3 gas prices have an alternative.

4 We had the first advisory committee meeting for
5 the Clean Transportation Program. It was a smashing
6 success even it was really hard to get a quorum, because
7 it's hard with Zoom. And I feel really passionate about
8 this idea. Like if we want to make sure small equity
9 groups from rural areas can get access to us it's going to
10 be through Zoom, not through these in-person meetings where
11 we're begging people to come into the room, so we have a
12 quorum; like comically difficult. Patrick had to like beg
13 people or basically I'm like, "Please come, I'll make you
14 cookies." Do you know what I mean? I spent a lot of money
15 on cookies actually. I was too busy the night before to
16 make them.

17 And I want to thank our CCO, because she and her
18 team and that she like spent some weekends making sure that
19 we had the right Roles and Responsibilities Document that
20 allowed us to keep our equity group so just thank you.
21 You're amazing.

22 Let's see, on industrial decarbonization -- it's
23 fun working with Andrew, because I get to pick his big
24 brain all the time. I spoke at an Industrial Decarb
25 Symposium at UC Davis, which was very fun. And Virginia

1 Lew, Virginia really helped me out on putting together a
2 PowerPoint, made sure that I was accurate. Thanks,
3 Virginia.

4 And there was lots of interest in FTIP (phonetic)
5 in the \$210 million the Governor is proposing, and green
6 hydrogen. Like I think this is just an area I see like a
7 lot of opportunity for us to be leaders and really thinking
8 through investments that can scale, migrate to other
9 states, like what's our scale-up strategy is really what
10 I'm excited about working on with Andrew, with Commissioner
11 McCallister, and others.

12 And so on hydrogen, GO-Biz is leading that effort
13 to get a federal hydrogen hub. And again, I think our
14 challenge is really how do we leverage hopefully what
15 dollars come to us through the budget to be able to put
16 towards green hydrogen here in the state, so we can
17 accelerate that market and support that process.

18 Just I've got to say the last month has been
19 crazy travel and some of it with the Chair, some of it was
20 with Commissioner Vaccaro, and it's been so fun to go out
21 and see people again. These tribal visits in particular
22 that Katrina Leni-Konig organized, amazing. I mean,
23 really, I learned so much about I would just say siting
24 issues. You think of siting issues you don't think
25 necessarily of this overlay with Native Americans and yet

1 it's obvious that there is one. And that came to light
2 when we met with tribes and they talked to us about their
3 concerns and hopes for clean energy and lithium extraction,
4 what that means in terms of what mining means to tribes
5 which is extractive and not caring of the earth. So it was
6 just great to have those conversations and I look forward
7 to more of them.

8 We also went to the first ribbon-cutting -- and
9 I'm sorry I'm going kind of long, because I missed the last
10 business meeting -- but the first ribbon-cutting of an EV
11 charger in Imperial County. And the only reason that
12 happened is there was this one very good small NGO, Comite
13 Civico, and led by Luis Olmedo. And he got money from
14 General Motors to supplement our funds to be able to have
15 the first EV charger. We need more, so to me that again
16 highlighted the importance of going out into communities
17 and seeing the real barriers that they face, meeting real
18 people, and then tailoring our grant programs to support
19 them. That's our job.

20 Le-Quyen? Le-Quyen are you -- she's not here.
21 She's gone -- who we're going to miss so much. Don't cry,
22 don't cry over there, David. She organized a trip to Rio
23 Tinto's borax mine in Boron and that also was amazing. And
24 we got to go to their celebration in Boron, which was
25 really fun.

1 And they're looking to mine 5,000 tons per year,
2 which compared to Salton Sea is small, but in the world of
3 lithium is still something significant. And yeah, it's
4 also the largest open-pit mine in the country. And I've
5 got to say after I went there, I was tired. And I realized
6 I think I was tired because it was overwhelming to see
7 mining, yeah, for me. But it's just exciting also to
8 explore the possibility of California really being a major
9 lithium provider for the world and for the ZEV ecosystem.

10 Okay, the last thing I want to say is we signed
11 on to a Memorandum of Understanding which will be coming --
12 I signed on to it -- it's going to come before you all to
13 decide whether we will sign on to it as an agency on
14 Vehicle-to-Everything. And the Chair was there. And it
15 was a really great event organized by DOE. They had IBEW.
16 They had the Utilities. They had the major U.S. domestic
17 car companies. They had your V2G providers, including some
18 that we have funded like Nuvve. And we're really trying to
19 explore, and this intersects with you Vice Chair, around
20 how do we leverage the possibilities of EVs to help the
21 grid be cleaner and better and cheaper. Thank you.

22 CHAIR HOCHSCHILD: Thank you.

23 Vice Chair Gunda.

24 VICE CHAIR GUNDA: Yeah. Thank you, Commissioner
25 Monahan, that was very good. It's like exhaustive. I

1 mean, it's good to get to hear about all the things that
2 you are doing in terms of being out there and
3 understanding, it just helps learning, so thank you.

4 So from my end just a couple of things since the
5 last business meeting I want to highlight. I had a chance
6 to visit with MCE, to just visit their facilities and think
7 through with their leadership, all the cool things they're
8 doing. There's been opportunities for hydrogen in the Bay
9 Area in their territory. We talked about their
10 opportunities to deploy fuel cell vehicles, and all sorts
11 of stuff which was really great.

12 And I was a part of the Chair's Equity
13 Roundtable, which was very helpful to start talking about
14 our equity framework and getting some thoughts on how best
15 to do regional coordination on those elements, which was
16 great.

17 And I think the rest of it was just spending on
18 emergency issues and reliability, just kind of thinking
19 through those. And I want to just thank Drew and Gordon
20 Schremp from the EAD on just their work on fuels, petroleum
21 awareness on what's going on with the cost of gasoline. So
22 thanks Drew, for your leadership on helping the state, at
23 least leadership be aware of what's going on and how to
24 mitigate them.

25 On the reliability front, I think most of you

1 already know, but for those of you who might not be
2 following, there is a new DOC, Department of Commerce
3 investigation that opened up about three weeks ago on
4 potential solar panels circumvention from China into some
5 of the countries that we depend on for sourcing panels for
6 building projects here in California.

7 So it's a pretty big deal in the amount of
8 projects that are at risk, so given that we already have a
9 lot of risk on project deployment due to land use,
10 permitting and interconnection issues this was the last
11 thing we wanted. So it's been really the last two or three
12 weeks I've been with the Chair thinking through what the
13 ripple effect of this could be in terms of not just 2022,
14 but all the way to '25-'26.

15 As you all know, CPUC has procured one of the --
16 or authorized procurement, one of the largest procurements
17 ever, 11,500 megawatts of new NQC (phonetic) translating to
18 almost 25-30,000 megawatts of clean energy between now and
19 2026. And some of that is solar and hydrogen projects, and
20 those are at risk.

21 And we also have an emergency situation in China
22 with the COVID impacts there and shut-down in Shanghai and
23 such, which is also impacting storage alone projects. So
24 it's been, as usual, kind of those dark, dark corners as we
25 think out how to work on these issues.

1 And finally a couple of pieces -- maybe Chair
2 will talk about this -- we had a long-duration storage
3 workshop, which was great. Thank you so much for putting
4 that together and thinking through the long-term trajectory
5 and strategy for that.

6 And Commissioner McAllister and I have been a
7 part of the EDAM evolution and kind of just tracking that
8 as how that's going to evolve. So those are the main
9 pieces, and great.

10 CHAIR HOCHSCHILD: Great.

11 Commissioner McAllister.

12 COMMISSIONER MCALLISTER: Well, great. I guess
13 it's nice to have some company in the dark corners of the
14 Energy Commission. (Laughter) You know, energy
15 efficiency tends to be kind of insider baseball, a lot of
16 it, and so you have my sympathies.

17 But having said that I mean one thing I want to
18 just make sure to do is to thank all the staff that is
19 really figuring out how to lead in the building decarb
20 space. It's a tough set of challenges and I think the
21 Division has just a lot of a great team on this. And I
22 just wanted to just thank them directly, I mean kudos
23 really to Mike Sokol for just keeping a lot of plates
24 spinning.

25 And there are many, many fronts on that building

1 decarbonization enterprise. Our existing buildings just
2 present as I kind of talked about earlier, a lot of
3 overlapping challenges. And every building is different.
4 Our building stock is diverse, our people are diverse, our
5 geography and our climates are diverse. And so just a lot
6 of challenges that that we have to hit head on, and we have
7 to figure them out and solve them. And happily it looks
8 like building decarbonization is kind of moving to have its
9 moment in the sun. Hopefully it's more than a moment, and
10 the Legislature and the Governor are thinking hard about
11 how to provide us some resources to do that. So that's a
12 great and we're trying to get ready for the programmatic
13 push that will accompany that.

14 And so not just Mike, but Christine and Will
15 Vicent, Jenn Nelson, Lorraine white, and just many others
16 at both leadership and just staff levels doing lots of
17 yeoman's work.

18 So I was able to, and I think I mentioned it, I
19 went to New York City last week specifically for a
20 conference on energy and finance that Bloomberg put on.
21 But I took advantage to do a couple of other things. At
22 that event I was on a panel with Phil Pettingill. And we
23 were just talking about the western model, the west coast
24 model, and then it sort of bled into some western issues.
25 But Phil was sort of top man, and I was sort of bottom up,

1 and we complemented each other pretty well. And there was
2 just a ton of interest in understanding our model, which I
3 think we have and using it as a reference point and
4 building on it.

5 So while I was there NYSERDA was nice enough to
6 invite me to an event that was really a signature event
7 that they've been planning for a long time with Mayor
8 Hochul from New York and -- I'm sorry Governor Hochul,
9 Mayor Adams, and then Bill Clinton, because the Clinton
10 Global Initiative is there. And so it was on the
11 observation deck of the Empire State Building. And just it
12 was a really marvelous event. They were rolling out the
13 Empire State Building Decarbonization Strategy with the
14 Empire State Building as a marquee project really, so very
15 impressive. We're very much on the same page.

16 And there's some healthy competition, I think,
17 between the states and that's good. And also, I think
18 there's just a lot of complementarities in our policies.
19 We do some things that they can learn from, and they do
20 some things that we can learn from. And together I think
21 we can -- we're talking almost 70 million people between
22 those two states. And so that's a market mover big time,
23 like more than just California alone.

24 So we're definitely going to keep in better touch
25 now that we can be -- honestly it helps to be in the same

1 room with people. I mean, we've all been saying this all
2 meeting there's nothing like reinforcing ties, personal
3 ties when you're together with somebody in real life and
4 you're eating together and you're just really sharing your
5 full life instead of your two-dimensional screen life. So
6 I just think a lot of good things are going to come from
7 that as we build momentum.

8 The other thing I did while I was there, and the
9 reason I was really excited about going other than just the
10 glitterati aspect of it was that part of it was getting
11 commitments from, was announcing commitments from the
12 largest real estate companies in builders and building
13 owners and operators in New York City of carbon-neutrality
14 commitments. These are huge companies. And so some of
15 them who have large holdings in New York City also have
16 holdings in California. And so there's a lot of stuff to
17 build on there. And I think, again they're leading on that
18 front and we can learn from them, so definitely going to be
19 following up on that.

20 The last thing I did was I went and visited a
21 project, or a company called BlocPower is doing in New York
22 City. They were hatched there. They have a really kind of
23 visionary leadership and they're managing, they're
24 developing a business model. And it's still in
25 development, and I think they're learning as they as they

1 go, but they are focused on affordable multifamily housing
2 upgrades of existing buildings. And they're bringing
3 private capital and they're finding ways to package
4 projects such that building owners can get on board and
5 sign on the bottom line and do electrification and
6 multifaceted decarbonization projects.

7 And so BlocPower has an office in Oakland. And I
8 think it's one of those models out of a number that are out
9 there that that we need to try to really get our hands
10 around and figure out how to support. So I think that was
11 exciting. And lots of, as I say, lots of challenges with
12 those projects but that's where we have to go.

13 And I wanted to thank Noemi for organizing an
14 Equity and Environment and Social Justice Roundtable for
15 the Efficiency Division team. It was really helpful just
16 having a bunch of really knowledgeable advocates on sort of
17 social justice, environmental justice and affordable
18 housing communities all together, really, I think is a
19 helpful resource to have gathered and to continue to
20 interact with. So thank you Noemi.

21 While you all were in the long-duration storage
22 workshop I was conducting a workshop on heat pumps and
23 decarbonization, focusing on supply chain issues around
24 heat pumps and it was also super-helpful, tons of food for
25 thought, lots of -- informed from the manufacturers and

1 contractors and building departments. And just a lot of
2 great suggestions about how we can help smooth the
3 directory for heat pumps as a core decarbonization
4 strategy. And hopefully bring some manufacturing to the
5 state as we scale up. So lots of interesting pathways
6 there, so thanks to Jenn Nelson and Kate Taylor for
7 organizing all that.

8 So let's see, I wanted to just do a few thank-
9 yous now. So Drew, and Jennifer Martin-Gallardo, and Rob
10 Cook I just want to thank you for all the diligence and
11 keeping, sort of running herd on all the IIJA, the
12 bipartisan Infrastructure and Jobs Act that has a couple
13 dozen streams of funding that we either are going to get or
14 we could go for. And so just keeping track of all that is
15 no small task, so thanks to Drew and the team for that.

16 Let's see, I wanted to thank Jason Harville.
17 After a number of years of effort I think we're at a place
18 where we have -- here I'm going to use the pipeline
19 metaphor -- we have big pipes of data coming from the
20 Utilities into the Commission in a way that is clean.
21 That's well organized. And is really going to open up, is
22 already opening up large gateways for analytical work. And
23 so I think EAD is going to be the bulk of that effort, but
24 I think it really has implications across the whole
25 Commission. And so just Jason has been instrumental

1 managing contractors, doing work himself, setting it up,
2 educating all of us, and outside this building as well. So
3 just want to thank him; very, very low-key, very unassuming
4 but just really, amazingly talented, so thanks to him.

5 I want to thank Linda, the CCO, you and your team
6 are just providing so much value and I'm just thinking
7 about the HERS rulemaking. It's just unpacking the
8 regulatory kind of facts for us in a way that helps move
9 the conversation forward and really helps staff, I think,
10 get their heads around as they're trying to determine the
11 best path forward in that and other arenas, just having
12 level-headed counsel and just very ground truth at each
13 step of the way is invaluable, so thank you for that.

14 Finally, I wanted to just say how wonderful, I'll
15 just reciprocate to Commissioner Monahan, about industrial
16 and hydrogen. It's really been great, it is great, and
17 will be really great working with you on that as we begin
18 to put together some programs and really, really start
19 moving the needle in those sectors.

20 And lastly, I just wanted to mention a couple
21 retirements in the Efficiency Division, the Appliances
22 Office. Actually Todd Ferris and Pierre duVair are going
23 to retire, both of them long-standing public servants at
24 the Commission and other agencies. And just wanted to
25 thank them for all of their hard work over all these years.

1 CHAIR HOCHSCHILD: Great. Thank you,
2 Commissioner. All right, well I'm just going to do a
3 lightning tour through some of the site visits I've had a
4 chance to do the last few weeks. Starting with yesterday,
5 I visited the largest battery storage project in the world,
6 which is at Moss Landing. It's 400 megawatts, all of which
7 is down now, because fortunately nothing to do with the
8 battery but, having to the fire suppression system that
9 misfired. And actually twice and so we've now like that's
10 been fully characterized and resolved. It's coming back
11 online the summer. And again, this is like lessons
12 learned.

13 That facility is going to scale to 1,400
14 megawatts by 2025. And it's run by Vistra, which we had a
15 good -- I went with Liane Randolph and we had a good
16 discussion with them. They are a big operator of
17 facilities and power plants across the country and are
18 getting off of coal just about everywhere. We were talking
19 about some of the dynamics around that.

20 And they're working also I think very
21 strategically to go upstream and actually get into battery
22 manufacturing in partnership with LG Cayman trying to do
23 it. And so I was glad I was there. I connected them to
24 Hannon (phonetic) and some of our funding that is on the
25 street already and some that are coming, so that was good

1 to see. And I'm glad that that facility will be back
2 online this summer.

3 A terrific day with Commission Monahan at the MOU
4 signing. One thing we learned there that I had not
5 realized, is that the cost to build a bi-directional EV
6 charger is only 10 percent more than conventional. And so
7 that's, I think, a very modest additional cost to have what
8 I think can be a very substantial benefit. We have over a
9 million EVs on the road in California. And we're adding
10 900 a day, 16 percent of new vehicle sales as Commission
11 Monahan pointed out.

12 And just for scale, okay the new Ford F-150
13 Lightning Electric Truck, which came out yesterday, that is
14 equivalent to a dozen Tesla Powerwalls, right. My little
15 Chevy Volt is equivalent to six Tesla Powerwalls. So
16 there's a huge amount of battery capacity in the car.

17 So I did the math last night. A typical home in
18 California uses 16 kilowatt hours a day, so you could run
19 your house entirely on your Chevy Volt for four days, as
20 just a way to think about it. And of course that's
21 extremely unlikely you need to do that. But this is part
22 of the whole genesis I think behind this gathering was to
23 really get us up to speed and thinking about bidirectional
24 charging. And I am really excited for what's to come
25 there. I think it can support the grid. It can support

1 that transportation electrification. And can actually save
2 a lot of money from not having to build more capacity than
3 we'd otherwise need to do.

4 So, I really want to thank Commissioner Monahan
5 for leaning into that and allowing me to join her at that.

6 I also had a wonderful Battery Day. A special
7 thanks to Terra Weeks and Mona Badie, Ben Wender and others
8 who helped organize that. We did it at Proterra. This is
9 an Energy Commission success. You guys, I remember it was
10 actually a former Commissioner Janea Scott who was Lead at
11 the time we gave Proterra their first grant. I think they
12 had a dozen people. They have 1,000 employees now and are
13 scaling and building electric buses and battery packs and
14 bus charging infrastructure. And so we had this gathering,
15 half-day gathering at their facility for battery folks. We
16 had all for lithium developers in the state were there with
17 us. And a bunch of other battery folks we funded,
18 including Cuberg and others, a great dialogue about how to
19 scale in California. And that was really fruitful.

20 I did also a wonderful trip with Linda Barrera
21 and Jen Martin-Gallardo and Katrina Leni-Konig, up to the
22 Yurok territory where we've done our solar battery
23 microgrid and had some good meetings with the Blue Lake
24 Rancheria, the Yurok and others, and then some tribal
25 consultations. That was terrific.

1 And then I went to Iceland with about a dozen
2 state legislators. Really the reason for me was the
3 Director of the Capture Project, so the largest director of
4 carbon capture project in the world has just gone online
5 there. We were actually the first delegation to go see the
6 facility. It's called the Orca Project and what they are
7 doing -- the best way to think of that it's like the
8 reverse of fracking. So they have these big machines that
9 basically screen out CO2 airflow through them. They do
10 this process, and they can mineralize the CO2 into rock.
11 And we saw the rock, so it takes two years for that process
12 to work, but it's fully proven out. And it's inert and
13 it's permanently stored.

14 They use a geothermal heat for that process.
15 They are now actively looking at a site in California at
16 the Salton Sea. And they're actually working with the DOE
17 on that, so I'll be following up with them on that. These
18 guys are much further along than I had realized. They've
19 raised over \$800 million now. It costs about \$600 a ton to
20 heat. They are selling it at 1,100, because the demand in
21 the voluntary market is greater than supply. But they
22 believe they can get down to 100 over time. So we are
23 going to be pushing ahead and looking to do some director
24 air capture with some of our funds.

25 So I just also wanted to say thank you to our

1 good friend Vice Chair Gunda, who has been working double
2 time. He was supposed to be on vacation last week. That
3 did not happen. I know, because I was on many of these
4 calls with him. The reliability stuff has been absolutely
5 nonstop, and you've been doing an incredible job. I see
6 that. Commissioner McAllister and Commissioner Monahan
7 sees that, and your staff sees that. We're going to make
8 sure you get an actual vacation. Obviously, the stakes are
9 very high right now with the energy package and all the
10 reliability needs. But we're in a much better place,
11 because of you. So I just wanted to acknowledge your work
12 on that. And I think I will stop there.

13 VICE CHAIR GUNDA: Chairman, if I could?

14 CHAIR HOCHSCHILD: Yes?

15 VICE CHAIR GUNDA: Because you kind of called on
16 me, I have to pass it on to this team. So I think there's
17 been an incredible team in Siting, EAD, Linda you and your
18 team in the CCO. It's just not possible without the
19 incredible hard work and going beyond the call of duty for
20 so many of our staff. And oftentimes some of these
21 requests are last minute, weekends. Just a heartfelt
22 thanks to all of you. And I think this state is in a
23 better place, because of us and our team. And we work
24 really hard and oftentimes it is not visible. A lot of
25 staff work is not visible, and I just want to -- one of

1 these days, I hope I have enough time to sit down and just
2 write a big letter of thanks to every single person that
3 has been just burning the midnight oil. So thank you,
4 Linda. Thanks to the EAD staff, Aleecia and the team
5 there. And Siting, Shawn and your team, thank you so much.

6 CHAIR HOCHSCHILD: Yeah, thank you. Well said,
7 thank you. Thank you to everyone.

8 With that let's go to Item 12, the Executive
9 Director's Report.

10 MR. BOHAN: Great. Thank you, Chair and
11 Commissioners. Four items, first there's as we've been
12 discussing today, lots of high priority time-sensitive
13 issues. And some of our staff have really been burning the
14 candle at both ends. And I just want to give a shout out
15 to those public service has gone above and beyond lately.
16 I won't mention names, because we'd be here until dark.
17 But there's really been a tremendous amount of work lately.

18 The work plan process, the second item is coming
19 up. And you will all see work plan presentations for the
20 body of work you focus on here soon. I just cancelled,
21 this morning, the first dry run presentation because too
22 many things are going on. But we're just in the thick of
23 it, and this will be for the next fiscal year the begins
24 July 1.

25 Third, the budget, some of you know more about

1 the parts you're focused on than I do, and the Budget
2 Office does, but I just want you to know we're being
3 capably led here by Damien and Rob. And it's been really
4 one of the craziest ones. I thought last year was the
5 craziest. This may be even crazier with so many different
6 pieces in the air. And I'm really grateful to Damien and
7 Rob for their leadership.

8 And then finally the new building. We are here
9 today. We will be here through May, but we are told -- I
10 might write this in pencil, not pen -- but that June is
11 when we're expecting the auditorium at the new building
12 will be available for these and other sorts of meetings.
13 So fingers crossed, thank you very much.

14 CHAIR HOCHSCHILD: Thank you.

15 Let's turn now to Item 13, Public Advisor's
16 Report.

17 MS. MURIMI: We have nothing to report.

18 CHAIR HOCHSCHILD: Okay, Item 14, Public Comment?

19 MS. MURIMI: Thank you, Chair.

20 This is the portion of the meeting for anyone who
21 would be wishing to make a comment on information items or
22 reports of the meeting or agenda.

23 Each person has up to three minutes to comment.

24 Comments are limited to one representative per

25 organization. We may reduce the comment time, depending on

1 the number of commenters.

2 Use the raise hand icon to indicate your interest
3 in making a public comment. If you're on the phone press
4 *9 to raise your hand and *6 to unmute. And if you're in
5 the room, find the Public Advisor or come to the podium,
6 and we will open your line.

7 For those on Zoom, and on the phone, we will open
8 your line. And after you're called upon, please restate
9 and spell your first and last names, state your affiliation
10 if any. And do not use a speaker phone when talking, so we
11 can hear you clearly.

12 I'm looking at our attendees list right now. I
13 see no comments, Chair.

14 CHAIR HOCHSCHILD: Okay. Thank you.

15 We will turn now to Item 15, Chief Counsel's
16 Report.

17 MS. BARRERA: No report today. And it's good to
18 be in person and see you in person.

19 CHAIR HOCHSCHILD: Yes.

20 All right, I think we're adjourned. Thanks
21 everybody.

22 (The Business Meeting adjourned at 3:45 p.m.)

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 6th day of May, 2022.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 6th day of May, 2022.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852