

DOCKETED

Docket Number:	22-IEPR-03
Project Title:	Electricity Forecast
TN #:	243031
Document Title:	Transcript - IEPR Staff Workshop on Demand Scenarios
Description:	N/A
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	5/11/2022 5:02:04 PM
Docketed Date:	5/12/2022

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the Matter of:) Docket No. 22-IEPR-03
)
2022 Integrated Energy Policy)
Report Update)
(2022 IEPR Update))
_____) RE: Demand Scenarios

STAFF WORKSHOP

DEMAND SCENARIOS

WARREN-ALQUIST STATE ENERGY BUILDING

ROSENFELD HEARING ROOM

1516 NINTH STREET

SACRAMENTO, CALIFORNIA 95814

Thursday, April 7, 2022

1:00 P.M.

Reported by:
Elise Hicks

APPEARANCES

COMMISSIONERS

Siva Gunda, 2022 IEPR Lead Commissioner, CEC
J. Andrew McAllister, Commissioner
Patricia Monahan, Commissioner

DAIS STAFF

Le-Quyen Nguyen
Bryan Early
Anna-Marie Madrigal
Leuwam Tesfai
Matt Coldwell
Aleecia Gutierrez
Noemi Gallardo, Public Advisor
Katrina Leni-Konig
Dorothy Murimi, Public Advisor
RoseMary Avalos, Public Advisor

PAO, MEDIA & IT

Raj Sing
Giana Villegas
David Gay
Noemi Gallardo
RoseMary Avalos

IEPR TEAM

Heather Raitt
Raquel Kravitz
Denise Costa

PRESENTERS

Heather Raitt, CEC, Assistant Executive Director, Policy
Development
Mike Jaske, CEC
Anitha Rednam, CEC
Ingrid Neumann, CEC, Building Scenarios
Quentin Gee, CEC, Transportation Scenarios
Gabe Mantegna, E3
Heidi Javanbakht, CEC, Moderator

APPEARANCES

PUBLIC COMMENT

Mark Roest
Vazken Kassakhian, SCE
Ben Schwartz

INDEX

	Page
Introduction	
• Heather Raitt, CEC, Assistant Executive Director, Policy Development	5
Opening Remarks	
• Siva Gunda, Vice Chair and Lead Commissioner for 2022 IEPR Update	8
• J. Andrew McAllister, Commissioner	12
• Patty Monahan, Commissioner	14
I. Demand Scenarios	
• Project Overview and Updated Framework	
• Mike Jaske, CEC	17
• Anitha Rednam, CEC	24
• Discussion between Commissioners and Presenters: None.	
Scenarios	
• Ingrid Neumann, CEC Building Scenarios	34
• Discussion between Commissioners/Presenter	45
• Quentin Gee, CEC, Transportation Scenarios	62
• Discussion between Commissioners/Presenter	86
Inputs, Assumptions, Results from Adapted Pathways Model	
• Gabe Mantegna, E3	80
• Discussion between Commissioners/Presenter	86
• Questions from attendees to presenters on Demand Scenarios (Heidi Javanbakht, CEC Moderator)	116
II. Interagency Scenario	
• Mike Jaske, CEC	124
• Discussion between Commissioners/Presenter	143
• Questions from Attendees to Presenter on Interagency Scenario Framework (Heidi Javanbakht, CEC Moderator)	
Public Comments	148
Closing Remarks	160
	4

1 have a written transcript available in about a
2 month. And to follow along the schedule, the
3 slide decks are docketed and posted on the Energy
4 Commission's website. For those in the room, if
5 you'd like to get the materials you
6 can -- there's a QR code posted, you can use your
7 smartphone and it'll scan it and take you to the
8 website page with all the materials.

9 In the room we also have hard copies of
10 the meeting schedule and we have binders of all
11 the materials at the entrance to the hearing
12 room, if you'd like to review those, and if you
13 need your own copy, just please either let me or
14 Denise Costa know.

15 We have a few ways to participate in the
16 workshop today. We'll reserve a few minutes
17 after all the presentations on the Demand
18 Scenarios to take a few questions from attendees.
19 We might not have time to address all the
20 questions submitted, and then -- but we will take
21 questions and we'll have another opportunity for
22 questions after staff's presentation on the
23 interagency work. So if you're in the room and
24 you'd like to make a -- take a -- have a
25 question, you can just leave an index card at the

1 entrance and you can just fill that out and leave
2 it and we will take it at that time.

3 And for those on the Zoom platform, you
4 can use a Q&A feature to ask a question. And
5 alternatively, attendees can make comments during
6 the public comment period. That will be at the
7 end of the day. Please note that we will not be
8 responding to any questions during the public
9 comment period and comments will be limited to 30
10 minutes or less. And if you want to make a
11 comment and you're in the room, you can just let
12 RoseMary Avalos know it. That's RoseMary, and
13 she can help arrange that. And when the time
14 comes, if you can just go to the middle
15 microphone at the lectern there and we'll speak
16 in the microphone when you're called on. And
17 then we'll also take public comments from the
18 remote participants and you just press *9 to let
19 us know that you would like to make a comment.
20 Written comments are also welcome and they're due
21 on April 21st.

22 So just ask for everybody's patience
23 today and bear with us as we might have some
24 bumps as we make this transition in person. And
25 another announcement is that Vice Chair Gunda,

1 who is leaving us today, needs to leave at 4:30.
2 so if we're still convening at 4:30 Commissioner
3 McAllister has been kind enough to say he would
4 close out the day.
5 So thank you, and with that, I'll pass it over to
6 the Commissioner Gunda, Vice Chair Gunda. Excuse
7 me?

8 VICE CHAIR GUNDA: Thank you, Heather.
9 Thank you so much. I just wanted to start off
10 with how nice it is to see everybody in person.
11 It's been -- it's been two years since we went on
12 tele working and it's been a year for me on the
13 commission. I haven't had a chance to see any of
14 the -- any of my colleagues in person. So it's
15 really awesome to see everybody.

16 So now, as Heather kind of mentioned, we
17 are going to try a few different ways of doing
18 this today and I have to step out at 4:30, so I'm
19 requesting Commissioner McAllister to please
20 close the meeting at the end if I have to jump
21 off. And so at the top, it'll be the first
22 workshop for us for the IEPR update and I want to
23 begin by just thanking the IEPR team. Typically
24 you know, the IEPRs just go from one year to the
25 other and it's absolutely no break for the staff

1 to really kind of take a break. So you know, to
2 my colleagues in the IPPR team, just thank you so
3 much for all the incredible work you do.

4 And then kind of going into the EAD staff
5 and the work today that we're going to discuss
6 the Demand Scenarios has been something that
7 we've been thinking through for about two years
8 now. You know, just the power of having a
9 collaborative discussions. It actually started
10 with a conversation with SCE about two years ago.
11 We were visiting in person and then we talked
12 through some of the issues with the rapid goals
13 of electrification and how, you know, if we don't
14 adequately plan for electrification through the
15 policy lens, it will be really hard to plan for
16 some of the builds that we need. So that's
17 really the impetus of the Demand Scenarios.

18 And then came the SB 100 work. And
19 currently, as you all know, one of the core
20 inputs to SB 100 is thinking through what future
21 scenarios for electricity demand could look like.
22 And so we kind of talked through some of the
23 issues there. And then so between the need for
24 planning both in the mid-term and the long term
25 on electric reliability and then the generation

1 capacity needed through the policy lens, the
2 Demand Scenarios play an extremely important role
3 and I just want to be thankful and note a few
4 people. Aleecia Gutierrez, the EID deputy who's
5 been at the top leading a number of different
6 efforts, whether it's Demand Scenarios, natural
7 gas transition, SB 100 and reliability. So just
8 Aleecia, thank you to you and the management team
9 for all the incredible work.

10 Heidi, thank you for your work in just
11 reshaping some of our demand analysis thinking
12 and want to note a few technical staff,
13 especially Mike Jaske, Anitha Rednam, and Ingrid,
14 all of them who have put in a lot of time and
15 effort in thinking through how best to plan this
16 and don't want to leave Quentin, who has been
17 focusing on the transportation element. So thank
18 you all for all the work.

19 Because this is also an IEPR workshop,
20 just want to lay out a few things for the IEPR
21 2022 update. We discussed a few changes for
22 IEPR, as a whole to think about how best to
23 socialize this. As you all know, IEPR 2021 we've
24 got some comments from PG&E, I believe, on the
25 length of the document, specifically 500 pages,

1 but you know, so we really would like to make the
2 IEPR documents shorter moving forward. So the
3 2022 is a good opportunity for us to think
4 through that, how best to do it. So moving
5 forward, IEPR will be more of a summary document.
6 And then to the extent that we would need to
7 discuss or have a robust record on some elements,
8 we're going to try and do that in what we're
9 doing, what we're calling the OIIPs, the Order
10 Instituting Investigation and Information
11 Proceedings. A couple of them were launched this
12 year, which includes a proceeding on DER and the
13 natural gas transition. So we'll be continuing
14 to do that.

15 Also want to just make sure we can
16 respond to this.
17 Some of our sister agencies mentioned that as we
18 move the IEPR into a summary document, it's
19 essential to have a robust public record. So the
20 OIIPs will provide that opportunity for staff to
21 continue to have a lot of staff workshops and
22 build the record necessary for our sister
23 agencies.

24 This year we have three tracks Energy
25 Transition and equity is a primary track. Second

1 is called a planning library in which the Demand
2 Scenarios will be a part of. And the third
3 bucket is just thinking through some of the
4 emerging topics like hydrogen, reliability, any
5 other issues that might come up throughout the
6 year.

7 So with all of that, really looking
8 forward to hearing the presentations from the
9 staff today and beginning this Demand Scenarios
10 work in earnest to think about how best to
11 bookend our planning situation. So with that,
12 thank you. Heather.

13 COMMISSIONER MCALLISTER: Okay. So I
14 think I'm next. So and then, you know, hopefully
15 the AV and all the -- all that's working well so,
16 seems to be well. So thank you Commissioner
17 Gunda for kicking us off and for leading this
18 year's IEPR. I really appreciate the structural
19 changes as well. I think those are going to sort
20 of play out positively over the long term and
21 result in kind of less silo-ing from year to year
22 of the IEPR activities.

23 But just really briefly, I think, you
24 know, always excited about talking -- about the
25 forecasting generally, but certainly the Demand

1 Scenarios and the work we're doing there to kind
2 of expand the suite of approaches and products
3 that overall compose the forecast. And the team
4 that we're going to hear from today has really
5 been working hard on the various elements of
6 this. We and -- just to sort of highlight a
7 point that Vice Chair Gunda just made, you know
8 historically, we've been relatively passive in
9 terms of how we define the scenarios and sort of
10 you know, modeled things as we understood them
11 sort of on the natural sort of organically in
12 terms of the existing kind of marketplace for
13 this or that energy consumption realm.

14 And then realized, you know sort of over
15 a few years, that we had these aggressive policy
16 goals that weren't really being tracked actively
17 by the modeling. And we didn't have scenarios
18 necessarily that were unpacking those goals and
19 figuring out how we were going to actually meet
20 those goals, what would need to happen to
21 actually meet those goals. And so I think the
22 effort today to really explore this more deeply
23 and come up with possibilities and policy
24 recommendations for having the demand exploration
25 actually drive programs to meet our aggressive

1 policies really makes a lot of sense. So.

2 Oh. Oh, sorry.

3 UNKNOWN SPEAKER: [Indiscernible].

4 COMMISSIONER MCALLISTER: Okay. Well, I
5 did not count on user error, so apologies for
6 that. Not that everybody -- anybody really wants
7 to see me on camera, but I think that's my
8 obligation. So thank you for letting me know.

9 So I was really excited about this
10 because it lets us sort of instead of the, you
11 know, the existing sort of universe wagging the
12 tail, you know, being the dog that wags -- that
13 wags us as the tail, we're actually sort of
14 taking control and starting to, you know, be more
15 proactive in terms of how we can -- how our
16 analysis can support actively achieving our
17 policy goals. And so that's a very exciting
18 development, but it takes a lot of work and we've
19 got a great analytical team we're going to hear
20 from today to get us started. So with that, I'm
21 excited to kick things off. So pass the mic to
22 Commissioner Monahan.

23 COMMISSIONER MONAHAN: Well, thank you.
24 It is so nice to see you guys. So I'm just a
25 little -- usually I'm not at a loss for words,

1 but it is strange to be with people again and
2 warms my heart to see you guys. So just thanks
3 for making all this extra effort. Thanks
4 especially to Heather. I'm -- my heart goes out
5 to Heather about how hard it has been to make
6 sure that we're following our open meeting rules.
7 We're using Zoom. We're making sure that we are
8 making it easy for the public to listen in. And
9 I think from the number of people on the Zoom
10 platform, we can see that there is very much an
11 appetite for continuing to use Zoom even as we
12 move more to an in-person environment. And I
13 think it behooves all of us to really continually
14 think through how to make sure that we are
15 accessible to the public and especially I think
16 to communities, that it would be really hard to
17 come to Sacramento.

18 So I think, you know, Zoom has taught us
19 all these good things that can happen in terms of
20 public engagement. So I look forward to being
21 able to have both of those experiences. But that
22 takes a toll on our IT team, and Heather, and
23 others who are making these meetings happen.

24 So I want to build on something
25 Commissioner McAllister said about how our

1 modeling is evolving. And I have been having
2 such a fun time working first with Heidi and now
3 with Quentin on kind of reimagining what our
4 modeling looks like in the world of
5 transportation. And you know, there is -- we
6 have these ambitious policy goals that are one of
7 the things that we need to model, but we also
8 need to model sort of where the market may go on
9 its own. And that to me also is something for
10 the future for us to think more deeply about is
11 really, okay the regulatory programs actually set
12 a baseline, but as the price of clean energy
13 technologies falls, like, as the price of
14 batteries for vehicles falls and batteries
15 actually become cheaper than internal combustion
16 engines, what's the role of infrastructure?

17 You know that's our bread and butter at
18 the Energy Commission is building out zero
19 emission vehicle infrastructure. We really don't
20 know. We can't quantify what's the impact of
21 this charger in this place. And, you know, and
22 maybe we never will be able to do that.

23 But this idea that we're constantly
24 trying to think through better how to plan for
25 this clean energy future, that if we set the

1 right policies, may happen largely on its own.
2 And that's super exciting. So I know a lot of
3 people are like, ooh, modeling, ooh, IEPR
4 workshops, that's not very exciting, but I think
5 it is. So just looking forward to this
6 conversation.

7 And I'll turn it over to Heather.

8 MS. RAITT: Okay. So dropped my phone.
9 Good. Okay. Thank you so much, Commissioner.
10 So we'll go ahead and get started with staff
11 presentations. And first we have Anitha Rednam
12 and -- oh. What's that?

13

14 MS. RAITT: Oh right. And Mike. I was
15 going to say, Mike Jaske. So Mike is going to go
16 ahead first. And so, Mike, just a reminder, just
17 say next slide and we'll advance your slides for
18 you. Thank you.

19 MR. JASKE: First slide, please. So
20 while the slides -- while the slide comes up, for
21 the record, my name is Mike Jaske with the Energy
22 Assessment Division. As you can see from the
23 scheduled agenda, there's a series of
24 presentations concerning our Demand Scenarios
25 project. Anitha and I will provide an overview

1 of our goals and approach. Then Ingrid Neumann
2 will present material related to buildings, both
3 efficiency and fuel substitution, mostly adapted
4 from our 2021 IEPR Demand Forecast for this
5 project. Then Quentin Gee will provide an
6 overview of the transportation elements of this
7 effort. And then Gabe Mantegna of Energy and
8 Environmental Economics, or E3, will provide
9 results for total energy and GHG implications.
10 And then once we're finished with the CEC project
11 and after a short break, I will present a brief
12 overview of the Inter-Agency High Electrification
13 Assessment Scenario that the CEC staff have
14 developed in conjunction with the PUC and ISO.
15 Slide 2. No, not next slide. Slide two. There.
16 Why develop this capability? Thank you. Why
17 develop this capability? Thank you.

18 Our Assessments Division and its various
19 predecessor organizations within the CEC have
20 periodically undertaken projects that use a
21 scenario approach rather than a forecasting
22 approach. A lot of these projects have employed
23 consultants to do the heavy lifting, and although
24 the results are interesting and sometimes been
25 used directly, they don't always result in

1 capabilities being developed within the staff
2 itself. We had a relatively recent example of
3 this in the SB 100 Assessment that Vice Chair
4 Gunda mentioned, where E3 provided Demand
5 Scenarios that had been developed in an earlier
6 project. And so we really were not fully
7 conversant with all the details of those
8 scenarios and certainly hadn't the capability to
9 generate comparable ones ourselves.

10 So the bullets on this slide sort of give
11 you a variety of ideas about how and why we want
12 to develop such a capability. Vice Chair Gunda
13 mentioned that we want to directly use this in SB
14 100, and we also want to tune this capability and
15 its outputs to the needs of our sister energy
16 agencies. Slide 3.

17 I've already briefly mentioned the first
18 point, but that will come up more as I discuss
19 our inter-agency project toward the end of this
20 workshop. But what we're trying to do within the
21 scope of this overall project is be able to
22 develop demand scenario specifications that
23 address topics of interest, evaluate them both in
24 terms of the final demand end users consume
25 energy, and then at least in some instances,

1 assess the supply side consequences of these
2 changes in demand. This will help us to develop
3 key insights and to some extent, if we are
4 coordinating appropriately, the results of this
5 may also feed into the desires and needs of our
6 sister energy agencies. We are not at this point
7 proposing to have Demand Scenarios adopted, but
8 that may well become an element of this
9 capability similar to demand forecasts. Next
10 slide, please.

11 So what are we aspiring to here? We're
12 not there yet, fully for sure. But building off
13 of what Commissioner McAllister said in his
14 opening comments, we are explicitly trying to
15 understand how programs influence end users to
16 change energy usage patterns, fuel choice, etc.
17 When the existing programs don't lead us to our
18 goals, then we want to be able to identify how
19 new programs might replace or augment existing
20 ones. This is hard to do and we, to do it right,
21 we're going to have to tackle many facets of
22 consumer behavior that we have kind of relied
23 upon historic patterns, but as we confront whole
24 new challenges, we need to better understand
25 basic consumer behavior. And perhaps that will

1 lead to the sort of outcome that Commissioner
2 Monahan just mentioned of the market handling
3 much of this transition itself. But maybe not.
4 Hard to know at this point.

5 Ms. Rednam will get into the framework
6 that we developed for the initial Demand
7 Scenarios that we're setting out to quantify and
8 Dr. Neumann and Dr. Gee will get a little deeper
9 into the specific programs that we're trying to
10 model in this initial round of assessment. Slide
11 5, please.

12 So we set out to accomplish these things
13 that are shown above in the 2021 IEPR,
14 development and assess the scenario, stressing
15 high electrification. Do that by creating or
16 adapting modeling capabilities. Build off the
17 tools that we have now. We were not able to
18 accomplish that partly because of staffing issues
19 that surfaced in the last half of 2021 and there
20 was a priority decision that the demand forecast
21 was a higher priority to complete on time and.

22 Secondly, sort of in parallel to that
23 last half of 2021, the PUC's desires to better
24 understand sort of the intermediate term
25 consequences of high electrification led to,

1 essentially a parallel demand scenario project.
2 It slowed down our original plans because rather
3 than merely building capability without a clear
4 user for the product, we suddenly had an
5 inter-agency consensus that a certain form of
6 high electrification infrastructure assessment
7 was appropriate to do and necessary to do on a
8 time scale that sort of caused us to divert a bit
9 from our original plan. And I will get into the
10 details of that as the last element of this
11 workshop.

12 Please go ahead two slides to slide 7,
13 called Adapting Plans. So as we were developing
14 the original capability and developing our
15 initial demand scenario specifications and
16 gearing up our tools to quantify those this
17 inter-agency team, or inter-agency desire sort of
18 surfaced. And it took some months to sort of
19 sort through what was actually a feasible thing
20 to accomplish, not only in the Energy
21 Commission's domain, but also in the related
22 aspects of a project that involved PUC staff and
23 ISO's staff. And eventually that resulted in
24 this inter-agency High Electrification Demand
25 Scenario project. And so today's workshop is

1 mostly focusing on the original Energy Commission
2 project, but I will give a status report of the
3 inter-agency effort where it is right now. Go
4 back to slide 6, please.

5 So I mentioned GHG emissions that were
6 part of the scope of our capability development.
7 And since CARB's just held a workshop to unveil
8 the preliminary results of their 2022 scoping
9 plan projections, I wanted to show how what the
10 CEC is doing and what CARB is doing are
11 different.

12 The box on the left is a series of
13 bullets, certainly at an overview level of what
14 CARB is doing. While the box on the right is an
15 overview of the Energy Commission staff effort.
16 If you look at these bullets, and I'm not going
17 to go through all of them one by one, but
18 essentially you can observe three things: CARB
19 covers all the GHG emissions sources, while the
20 Energy Commission is only paying attention to
21 those associated with energy consumption. So all
22 the non-anthropogenic sources are not in the
23 scope of our effort and I don't foresee them
24 being for some time, if ever.

25 CARB scenarios using the PATHWAYS model

1 are essentially assessments of what-if
2 assumptions. Well, as I said in an earlier
3 slide, we are trying our best to model the
4 impacts on consumption of existing and emerging
5 programs. Programs have -- can be mandates,
6 standards, incentives, education, a whole suite
7 of different mechanisms to induce and even
8 control consumer decision making. But that's not
9 an element of what PATHWAYS does.

10 And finally, PATHWAYS, at least as it's
11 conventionally used and used by CARB in this
12 scoping cycle, is not run at a level that's
13 detailed enough to allow the kind of electricity
14 and natural gas resource planning that's
15 necessary and to assure reliability. So this is
16 not a duplication of CARB's effort. It's
17 parallel to some degree but getting into much
18 more detail in the selective areas of electricity
19 and natural gas. I believe that is the end of
20 what I have to say, and Ms. Rednam can now take
21 over.

22 MS. REDNAM: Thank you, Mike. Good
23 afternoon, Commissioners and stakeholders. So my
24 first slide here gives a quick overview of our
25 Demand Scenarios project. The Demand Scenarios

1 can help examine fuel shifts on the demand side.
2 The consequences of these shifts on the supply
3 side, they help evaluate cross-cutting matrices
4 such as greenhouse gas emissions and costs. So
5 we have developed three Demand Scenarios which
6 extend out to 2050 included varieties of fuel
7 types in our analysis, and we cover a greater
8 range of uncertainties. So these uncertainties
9 could be economic and demographic variables
10 outside our typical forecast range, technology
11 cost, adoption and behavior, and aspirational
12 goals not yet translated to policies. So we use
13 the mid demand forecast as a starting point and
14 adjusted it with load modifier projection tools
15 such as additional achievable energy efficiency,
16 AAEE, and Additional Achievable Fuel
17 Substitution, AAFS, especially for the
18 residential and commercial sectors. Next slide,
19 please.

20 So in our Demand Scenarios project, like
21 Mike said, we quantify the impact of various
22 existing and emerging energy programs, standards
23 and policies to assess both the energy demand and
24 greenhouse gas consequences. In future updates,
25 we plan to develop demand scenario assessments,

1 which will provide a sense of how easy or
2 difficult it may be to achieve California's goals
3 and provide necessary insights into where
4 programs need to be developed. So we also aspire
5 to develop our Demand Scenarios capability in
6 such a way such as both the PUC and the ISO can
7 use them in their infrastructure planning
8 process. Next slide, please.

9 So our Demand Scenarios focus on high
10 electrification. So in our project we have
11 developed different demand projections which by
12 modifying the baseline demand forecast with
13 combinations of AAEE and AAFS. I will go over
14 the framework process a little later in my
15 presentation. So in -- and also in addition to
16 producing demand projections, our Demand Scenario
17 Process also produces greenhouse gas emissions by
18 sector. Next slide, please.

19 So we have developed and quantified
20 impacts of three types of scenarios for this
21 project: a Reference Scenario, a
22 Policy/Compliance Scenario, and a Mitigation
23 Scenario. So Reference Scenario uses the same
24 assumptions as the CEC adopted managed Mid-Mid
25 demand forecast through 2035. So after 2035,

1 this scenario assumes the same set of standards,
2 programs, and policies will continue with the
3 same degree of compliance. So this serves as a
4 reference against which Policy/Compliance
5 Scenario and Mitigation Scenario are assessed,
6 and the comparison tells us how much more needs
7 to be accomplished after the processes have been
8 exhausted.

9 Then the second scenario is built off the
10 first scenario. So the policy elements of this
11 scenario capture the impacts of policies that are
12 not fully included in the Reference Scenario.
13 The compliance elements of this scenario will
14 quantify standards, programs, and incentives that
15 are included in the Reference Scenario, but these
16 are brought to a higher level of compliance than
17 what we've seen in the Reference Scenario. And
18 the increment between the Reference Scenario and
19 the Policy Scenario is the impact of fully
20 achieving the intended goal of the policy or
21 program.

22 So moving on to the Mitigation Scenario.
23 So this includes additional programs and policies
24 and what-if assumptions. Those are added on to
25 those that are already included in the

1 Policy/Compliance Scenario. So this is not goal
2 constrained like other scenarios to meet the
3 California greenhouse gas emission reductions
4 target. So the gap between the Policy/Compliance
5 Scenario and the Mitigation Scenario, this tells
6 us the need for further policy development, new
7 program designs, or additional approaches that
8 have not yet been quantified. Next slide,
9 please.

10 So this slide shows a high level modeling
11 framework. The first column, as you can see,
12 shows the various sectors, then followed by the
13 inputs we have developed for each sector and the
14 fuels we considered. So for the sectors fuels we
15 assessed here in house, in CEC, we can see them
16 in light green and peach color, which are
17 electricity and natural gas for the residential
18 and commercial sectors and for all the fuels
19 diesel, electric, ethanol, hydrogen, etcetera.
20 in the transportation sector. So what we did was
21 we extended our existing demand analysis tools
22 out to 2050, which included our stationary demand
23 forecasting models, our AAEE, AAFS programmatic
24 tools, our Fuel Substitution Scenario Analysis
25 Tools and transportation models.

1 So for these sectors, as I was telling
2 about in green and peach, E3 inserted our CEC
3 energy demand and load modifier inputs into their
4 adapted PATHWAYS model. Then for the other
5 demand side sectors like industry, agriculture,
6 oil and gas, etcetera, we relied on E3's PATHWAYS
7 model. So then the complete PATHWAYS Scenario is
8 generated, which covers all the sectors and all
9 the fuels that can be seen here. And the results
10 have greenhouse gas emission projections for all
11 these sectors fuel combinations as well. Next
12 slide, please.

13 So this is -- Commissioners, you must
14 have seen the slide in the -- in our December
15 presentation. That was our preliminary scenario
16 design. So the final -- this scenario design is
17 final here. So the details of the framework will
18 be covered in subsequent presentations by Ingrid
19 Neumann for the buildings components. Quentin
20 Gee will cover the transportation components and
21 Gabe Mantegna -- of E3 will provide the results
22 for total energy and greenhouse gas emissions.

23 So what we did here are we extended our
24 residential and commercial baseline forecast,
25 which we prepared for the 2021 IEPR to 2050. So

1 the models are provided with additional years of
2 econ demo data, which is available to us through
3 the Department of Finance and Moody's Analytics.
4 So we generated a Demand Scenario baseline
5 forecast. Then we adjusted the baseline for
6 impacts of AAEE and AAFS, reflecting a business
7 as usual perspective. So this is -- this is best
8 reflected by AAEE Scenario 3, which has long been
9 the standard choice for a managed demand forecast
10 used by both the PUC and the ISO for generation
11 and transmission system planning and procurement.

12 So for the residential and commercial
13 sectors, AAEE comes entirely from programmatic
14 contributions developed in our energy efficiency
15 and fuel substitution tool. So there are several
16 elements that we draw from for AAEE, which are
17 IOU and POU potential and goals projection. Then
18 codes and standards, savings projections, and
19 beyond utility impacts workbooks. Then for the
20 2021 IEPR, we have also added fuel substitution
21 as a load modifier AAFS and we treated -- and we
22 added to the baseline demand forecast and treated
23 in a similar way to how we treat AAEE currently.

24 There are however, two components to
25 AAFS, as we can see on the slide here. The first

1 being the programmatic contributions from the
2 EEFS tool. So just like AEEE, the same general
3 elements are updated to capture fuel substitution
4 impacts. Then we added the additional
5 speculative fuel substitution from the FSSAT
6 model, where additional fuel substitution is
7 captured at a technology level for programs that
8 are still in development. As can be seen here,
9 for the Reference Scenario, we have not included
10 any additional speculative fuel substitution.
11 Then for all the other fuels in these sectors,
12 like the minor fuels, like kerosene, LPG, we have
13 relied on the PATHWAYS model.

14 Then moving on to the transportation
15 sector. The baseline forecast energy demand is
16 forecasted using models that incorporate consumer
17 preference, regulations, econ demo projections,
18 and improvements in technology, and other
19 factors. So for the remaining sectors and for
20 all the scenarios of our Demand Scenarios
21 project, we have relied on the PATHWAYS model
22 that was used for the 2020 CARB Carbon Neutrality
23 Report. Next slide, please.

24 So the next few slides have the same
25 structure as the Reference Scenario. I'll go

1 over a few key things to note. The first point
2 being the baseline forecast here is adjusted to
3 reflect more aggressive energy efficiency and
4 expansive fuel substitutions than what we
5 included in the Reference Scenario. So for
6 energy efficiency, the baseline is reduced by
7 savings from the electricity AAEE Mid-High
8 Scenario 4, and the natural gas AAEE Mid-Mid
9 Scenario 3. And for the portion of AAFS that
10 comes from programmatic contributions we used
11 Scenario 4.

12 Then lastly, the additional speculative
13 fuel substitution, which we estimated using our
14 FSSAT tool. We used this scenario based on
15 proposed CARB measures for the 2022 State
16 Implementation Plan for Residential and
17 Commercial Buildings that quantifies the impacts
18 of NOx control measures, which require sales of
19 new electric water heater and space heaters in
20 2029 in the Bay Area Air Quality Management
21 District and 2030 for remainder of the state.

22 So moving to the transportation, we
23 started out again with our 2021 IEPR Mid
24 Transportation Forecast and then layer it with
25 CARB State Implementation Strategy for capturing

1 the incremental impacts here beyond the
2 Referenced Scenario. So we used SIP which is
3 based on CARB's proposed regulations for Advanced
4 Clean Cars II for light-duty vehicles and
5 Advanced Clean Fleets for medium- and heavy-duty
6 vehicles. Next slide.

7 So just like the Policy/Compliance
8 Scenario here, the baseline consumption forecast
9 is adjusted for both energy efficiency and fuel
10 substitution. So we are using scenario 6 here
11 for AAEE, which is Mid-High Plus and natural gas.
12 We kept it constant, and Ingrid will go over
13 that, AAEE Mid-Mid Scenario 3. For the portion of
14 the AAFS load modifier, we are going to use the
15 higher scenario with the Scenario 6, and for
16 capturing the additional speculative impacts of
17 fuel substitution, we used CARB's Scoping Plan
18 Scenario assumptions for alternative 4, which is
19 carbon neutrality by 2045. So what the scenario
20 assumes here, that is new residential and
21 commercial buildings have to have all electric
22 appliances beginning in 2029 for existing
23 residential buildings, electric appliance sales
24 ramp up to 100% by 2035, whereas for existing
25 commercial buildings, electric appliances sales

1 ramp up to 100% by 2045.

2 Then for the transportation sector, we
3 use the CARB Mobile Source Strategy for capturing
4 the incremental impacts beyond the
5 Policy/Compliance Scenario here. And just like
6 the Policy/Compliance Scenario, the Mitigation
7 Scenario uses increasingly more aggressive ZEV
8 attributes and ZEV policies which Quentin will go
9 over.

10 With that, I will hand off to Ingrid.
11 That was my last slide for the Building Scenarios
12 Framework. Thank you. Yeah, I think.

13 MS. RAITT: Commissioners, if you have
14 any questions or we can just go ahead and go on.

15 VICE CHAIR GUNDA: Yeah, I don't. I
16 don't.

17 MS. RAITT: Okay. Great. Thanks.

18 VICE CHAIR GUNDA: Not on the framing
19 yet. Okay.

20 MS. NEUMANN: Hi, I'm Ingrid Neumann.
21 Good afternoon, Commissioners and stakeholders.
22 I will go into how we deployed the 2021 AAEE and
23 AAFS forecast products as well as completed
24 additional modeling to support the High
25 Electrification Demand Scenario. Next slide,

1 please. Thank you.

2 These are the building components
3 excerpted from the Demand Scenarios Framework
4 Anitha just shared AAEE is Additional Achievable
5 Energy Efficiency while AAFS is Additional
6 Achievable Fuel Substitution. Next slide.

7 We are able to separate the electricity
8 and gas components of AAEE and do so for the
9 Policy/Compliance Demand Scenario in blue, and
10 the Mitigation Demand Scenario in violet.
11 Electricity and gas are however inextricably
12 linked for AAFS, as gas technologies are
13 displaced and substituted with more efficient
14 electric technologies. The electricity demand is
15 increased with fuel substitution while the gas
16 demand is decreased. Next slide.

17 In addition to the programmatic fuel
18 substitution contained in the AAFS scenarios, the
19 Policy and Compliance, or Policy/Compliance and
20 Mitigation Demand Scenarios also include
21 additional speculative fuel substitution as
22 modeled by our Fuel Substitution Scenario
23 Analysis Tool or FSSAT. Those are in the pink
24 outlined boxes. For the High Electrification
25 Demand Scenarios project, we prioritize fuel

1 substitution over energy efficiency because the
2 GHG impacts for fuel substitution are
3 approximately four times greater than for energy
4 efficiency. As shown at the bottom of the slide
5 in the flowchart, we accomplished this by first
6 removing the gas displaced by programmatic fuel
7 substitution as quantified in the appropriate
8 AAFS scenario from the baseline gas demands by
9 sector and end use. Then we apply additional
10 speculative fuel substitution modeled by the
11 FSSAT. Only if gas demand remains after both
12 types of fuel substitution are applied, do we
13 apply gas AAEE savings on any remaining gas
14 consumption by sector and end use. Next slide,
15 please.

16 So for --

17 VICE CHAIR GUNDA: Just a -- just a quick
18 question, Ingrid.

19 MS. NEUMANN: Of course.

20 VICE CHAIR GUNDA: On the previous slide.

21 So just kind of making sure we -- we're kind of
22 on the same -- all aligned on this. So the
23 Reference Scenario is the baseline gas demand,
24 right? So that's the first box here. And then
25 there is some level of fuel substitution in the

1 Compliance Scenario along with some speculative
2 elements?

3 MS. NEUMANN: So we go through -- so for
4 the Reference Scenario in green, there is only
5 the programmatic fuel substitution from AAFS
6 Scenario 3. Then for the blue Policy/Compliance
7 and the violet Mitigation, we go the additional
8 step of taking out the slightly more aggressive
9 and then the much more aggressive AAFS 4 and 6
10 programmatic, and then applying the SIP Plan and
11 the CARB Carbon Scoping Plan, all four, as
12 modeled by our FSSAT Tool.

13 VICE CHAIR GUNDA: Thank you.

14 MS. NEUMANN: All right. So for 2021, we
15 utilized the same accounting aggregation and
16 extrapolation methodology and tools as were
17 established in previous IEPR cycles. AAEE is
18 always updated every two years, so for more
19 details the 2019 and the 2021 IEPR documentation
20 can be consulted. Historical data and potential
21 savings projections were updated in all of our
22 existing workbooks, and some new workbooks were
23 added based on recent programmatic activities.
24 Next slide, please.

25 The largest change for AAEE in 2021 was

1 the explicit removal of any fuel substitution
2 components because these efforts were supplanted
3 by the new load modifier induced -- introduced in
4 2021 called Additional Achievable Fuel
5 Substitution, or AAFS. We added the new
6 workbooks listed here to quantify programmatic
7 energy efficiency and fuel substitution impacts.
8 Some of the programs had both energy efficiency
9 and fuel substitution and we assigned them
10 appropriately to either AAEE or AAFS. Important
11 to the Demand Scenarios project is that we also
12 extrapolated all of the potential AAEE savings
13 and fuel substitution impacts out to 2050, so
14 past the forecast period, which this time went to
15 2035. So we could support the entire Demand
16 Scenarios projection time period with this work.
17 Next slide, please.

18 We developed Additional Achievable Fuel
19 Substitution, or AAFS as an annual and hourly
20 load modifier to the Baseline Demand Forecast in
21 2021. AAFS was conceptualized as being separate
22 from AAEE, though we did use AAEE as a template
23 for developing AAFS. Next slide.

24 AAFS was developed in a public process
25 with stakeholder inputs throughout the 2021 IEPR

1 cycle. As in previous AAEE forecasts, the
2 objective of both AAEE and AAFS in 2021 was a
3 continued focus on firm programs and projections
4 because the core scenarios are used for planning
5 and procurement purposes during the 2022 to 2034
6 or 2035 forecast period.

7 As in previous iterations, we developed
8 variations around these most probable futures to
9 show other possible outcomes given less or more
10 input to realize the potential of existing or
11 proposed energy efficiency and fuel substitution
12 programs. This spectrum of scenarios from the
13 2021 IEPR was then extrapolated to 2050 and
14 deployed in support of our Demand Scenarios work
15 this year. Next slide.

16 The spectrum of the six scenarios, AAEE
17 scenarios, is shown in the top row here with
18 electricity savings on the left and gas savings
19 on the right. For electricity, AAEE 3 is shown
20 in green and was used for the Reference Demand
21 Scenario and the slightly more aggressive AAEE 4
22 is used in the Policy/Compliance Demand Scenario,
23 it is shown in blue. The Mitigation Demand
24 Scenario uses the most aggressive AAEE Scenario
25 6, shown here in violet. AAEE 3 is used for gas

1 in all three Demand Scenarios, though it's only
2 shown once in green on the top right. There are
3 only five AAFS scenarios, 2 through 6 because we
4 wanted to maintain the numbering so that 3 would
5 be the Mid-Mid, or the business as usual type
6 Reference Scenario. So those five AAFS scenarios
7 electricity and gas impacts are shown on the
8 bottom two graphs. AAFS 3, again in green, is
9 used for reference demand -- for the Reference
10 Demand Scenario. AAFS 4 in the bright blue is
11 used in the Policy/Compliance Demand Scenario and
12 the most aggressive AAFS 6 Scenario in violet is
13 employed for the Mitigation Demand Scenario.

14 The electricity impacts are shown here as
15 negative because we are examining the
16 programmatic contributions from a savings
17 perspective. And while we are indeed
18 quote/unquote saving gas by displacing it with
19 fuel substitution, we are simultaneously adding
20 some electricity consumption. Next slide.

21 Finally, for the Policy/Compliance and
22 Mitigation Demand Scenarios, we developed
23 additional speculative fuel substitution using
24 our Fuel Substitution Scenario Analysis Tool,
25 FSSAT. This is considered because programmatic

1 fuel substitution may not be of the magnitude
2 needed to meet various policy goals. First,
3 programmatic fuel substitution is input into the
4 FSSAT to determine what available gas
5 displacement remains. Then we are able to add
6 speculative or what-if technology based fuel
7 substitution to show what additional types of
8 efforts might be developed to reach these goals.
9 The FSSAT inputs are given as percentages of new
10 construction, percent of replacement burnout,
11 ROB, and for percent of early retirement, or RET,
12 by sector and end-use.

13 For the Demand Scenarios projects we
14 modeled the potential impacts from CARBs proposed
15 SIP, that's the State Implementation Plan,
16 restriction on NOx emission limits, which would
17 restrict the sales of equipment for residential
18 and commercial space and water heating in
19 California. That's in the first row of numbers
20 here with the time series and the percentages.
21 The proposed sales restriction would go into
22 effect statewide in 2030 and effectively limit
23 sales of these equipment types to electric
24 technology. This would mean 100% of new
25 construction and replace on burnout would be

1 electric, but there would not be a direct impact
2 motivating any early retirement of existing gas
3 technology. That's why we didn't include any
4 percent early retirement in this model.

5 There is a second line in the input
6 specific to Climate Zone three because the Bay
7 Area Air Quality Management District is proposing
8 to implement these sales restrictions one year
9 earlier or in 2029. So that's why those 100% are
10 highlighted in the two different years and then
11 carried forward out to 2050.

12 Next we modeled the potential impacts
13 from CARB's Scoping Plan Alternative Scenario 4
14 for use in addition to AAFS 6 in the Mitigation
15 Demand Scenario. This scenario assumes all
16 electric equipment sales for residential and
17 commercial space and water heating end uses
18 starting in 2029, but just similar to the SIP.
19 But then it also extends all electric sales for
20 equipment in all other residential and commercial
21 end uses. A 75% electric equipment sales
22 assumption is applied for 2030 for both
23 residential and commercial sectors, which quickly
24 ramps up to 100% for residential in 2035 and more
25 slowly for commercial in 2045. Next slide,

1 please.

2 These graphs show the results for the
3 additional Fuel Substitution model using our
4 FSSAT based on the SIP assumptions in bright blue
5 for the Policy/Compliance Demand Scenario, and
6 the Scoping Plan alternative for assumptions for
7 the Mitigation Demand Scenario in violet. The
8 Alternative 4 scenario is more aggressive, but a
9 significant amount of gas is already displaced
10 from the most aggressive programmatic fuel
11 substitution AAFS 6, in the sectors and end uses
12 it applies to. So that means that around 2040
13 less gas is present in that Mitigation Scenario
14 for additional fuel substitution as modeled by
15 the Scoping Plan. Next slide.

16 So this slide once again summarizes the
17 high level approach we took in assembling the
18 programmatic AAEE and AAFS contributions and
19 modeling additional fuel substitution using the
20 FSSAT. Fuel substitution is prioritized over
21 energy efficiency as shown in the flowchart
22 applying gas energy efficiency last.
23 Programmatic fuel substitution is applied prior
24 to allowing additional fuel substitution using
25 the FSSAT, and in our blue Policy/Compliance and

1 violet Mitigation Demand Scenarios, this results
2 in not all gas AEEE being realized slightly prior
3 to 2040 because simply too little gas consumption
4 remains after both fuel substitution efforts. So
5 final slide.

6 This final slide depicts the energy
7 efficiency and fuel substitution results for each
8 of the three Demand Scenarios for electricity on
9 the left and gas on the right. In both, energy
10 efficiency is shown with solid lines, with round
11 markers, while fuel substitution is shown with
12 dotted lines and triangular markers. We focused,
13 of course, on fuel substitution and modified the
14 gas energy efficiency contributions when gas
15 displacement potential was reached. Hence, the
16 adjusted AEEE values and gas savings for the
17 Policy/Compliance and Mitigation Demand Scenarios
18 in the gas saving side here in blue and violet.

19 As expected, the scenarios became more
20 aggressive, moving from Reference in green, to
21 Policy/Compliance in blue, and Mitigation in
22 violet. Though the gas displacement in the
23 latter two from energy efficiency alone is not
24 significantly different, these fuel substitution
25 impacts are. Thank you.

1 VICE CHAIR GUNDA: Ingrid, can I just ask
2 a quick question? Could we just go back to the
3 summary slide real quick? I'm going to note this
4 later, but just thank you so much for all this
5 work. I -- this is incredible amount of work and
6 I just want to thank you, Mike and Anitha and
7 Quentin, just the amount of work that took to
8 conceptualize this and work through all the
9 elements, it's just incredible. So thank you.
10 Thank you all for all the work.

11 On this one I just want to make sure, you
12 know, given that in a lot of the public are
13 looking at this slide for the first time and I
14 had the chance of being briefed multiple times
15 and thank you for that. So just kind of going
16 through that. On the left, for example, just the
17 electricity side, the blue solid dotted line is
18 the Reference Scenario 3, or it's the green?

19 MS. NEUMANN: The green.

20 VICE CHAIR GUNDA: So green is the
21 Reference. And then what's the -- can you just
22 kind of expand on the six? Like what are the
23 differences in each of those lines as you're
24 moving through one by one?

25 MS. NEUMANN: Right.

1 VICE CHAIR GUNDA: Just contextualize for
2 the broader public that are in attendance.

3 MS. NEUMANN: Right. So the positive
4 values on the gigawatt hours, those are energy
5 efficiency savings. So that would be a demand
6 reduction, right. So those are the solid lines
7 on the round markers and then the negative values
8 on the gigawatt hours are the fuel substitution
9 impacts where we're actually having quote/unquote
10 negative savings. So we're adding some
11 electricity, right, because that's because of
12 fuel substitution. The green is always the
13 Reference Scenario. The bright blue is the
14 Policy/Compliance Demand Scenario, which
15 includes, you know, some more optimistic views of
16 existing programs and some that are, you know,
17 just being developed. And then the violet is the
18 most aggressive view, including for fuel
19 substitution, the SIP plan and the -- sorry, the
20 SIP plan for the blue and the CARB Alt 4 for
21 the -- for the Mitigation Scenario. So those are
22 not -- they're proposed at this time.

23 And then on the right hand side, all of
24 the values are positive because whether we're
25 actually saving consumption by simply using less

1 gas because of energy efficiency measures, those
2 are all the lower values with the round dots
3 again. And we really only see the violet one
4 from the Mitigation and then the blue is almost
5 the same, except for the one dot before 2040.
6 And that's because we favor fuel substitution
7 over energy efficiency. And then you can kind of
8 see that if you didn't have as much fuel
9 substitution and just perpetuated gas energy
10 efficiency, that that, the Reference, the green
11 line right, which is AAEE 3 or Mid-Mid AAEE 3
12 would follow out to 2050. But that magnitude is
13 far less than how much gas would be displaced
14 with fuel substitution. Right. So just in the
15 Reference case with the programmatic fuel
16 substitution, in 2050 you see the value is far
17 below. Like it's what, maybe 1500 MM Therms.
18 The blue and the violet values at the top of the
19 page where the violet one's almost touching 6,000
20 MM Therms, and so the fuel substitution
21 definitely displaces more. And has higher GHG
22 impacts because of that.

23 COMMISSIONER MONAHAN: That was really
24 helpful. Thank you. Can I ask a question since
25 Vice-Chair Gunda has a little edge over me on

1 this. So can we go back to Slide 9, that
2 Statewide Spectrum of 2021 AAEE and AAFS
3 scenarios? Yeah.

4 COMMISSIONER MONAHAN: Just so I
5 understand, I totally get the 2021 IEPR gigawatt
6 hours savings. That's pretty clear. When it
7 goes -- Oh, I'm supposed to start my video.
8 Sorry about that. When it goes to the 2021 IEPR
9 gigawatt hour impacts from a AAFS, I'm a little
10 confused about that one. So we're talking about
11 we're fuel substituting will be increasing the
12 amount of electricity we're using. So the
13 impacts, gigawatt hour impact, shouldn't that be
14 positive?

15 MS. NEUMANN: So we would -- we were
16 looking at it from a savings perspective, right.

17 COMMISSIONER MONAHAN: So it
18 should -- maybe that should say gigawatt hour
19 savings, which is negative. Do you know what I
20 mean?

21 MS. NEUMANN: Right and that's --

22 COMMISSIONER MONAHAN: Because the
23 gigawatt hour impacts are actually positive. And
24 I got confused because I was like --

25 MS. NEUMANN: That's why I called it

1 impacts and not savings.

2 COMMISSIONER MONAHAN: -- aren't we
3 electrifying so shouldn't it be higher?

4 MS. NEUMANN: Yeah.

5 COMMISSIONER MONAHAN: Okay. Excellent.

6 MS. NEUMANN: Yeah. So if you're not
7 saving, they're negative savings.

8 COMMISSIONER MONAHAN: Great. For those
9 of us that are not in the weeds on this. And
10 then I guess similarly the -- just so I
11 understand, it's really clear like the 2021 IEPR
12 Therms savings from energy efficiency. Of
13 course, that's positive. And then the 2021, the
14 last one where it's the savings impacts, can you
15 tell me what is -- what's the difference between
16 savings and savings impacts?

17 MS. NEUMANN: Right. Okay. So basically
18 savings, we've always been looking at energy
19 efficiency savings. Right. And that, of course,
20 would be subtracted from the consumption or the
21 Demand Forecast. Right?

22 COMMISSIONER MONAHAN: Right.

23 MS. NEUMANN: So even though we're saying
24 it's a positive value here, it doesn't always
25 subtract it. So then for Gigawatt

1 hours --

2 COMMISSIONER MONAHAN: Right. So it's
3 just the nuance of like, okay.

4 MS. NEUMANN: Yeah, we're subtracting a
5 negative and --

6 COMMISSIONER MONAHAN: Right. And you're
7 adding two things together, right? You're adding
8 like electricity use and whatever fuel you're
9 substituting, probably natural gas, but it's the
10 total amount of energy from those whatever the
11 fuel substitute, the fuel that is substituted,
12 that's -- anyway.

13 MS. NEUMANN: Yes, and we would have to
14 convert --

15 COMMISSIONER MONAHAN: It's the
16 difference between --

17 MS. NEUMANN: -- units.

18 COMMISSIONER MONAHAN: Yeah.

19 MS. NEUMANN: Yeah.

20 COMMISSIONER MONAHAN: Okay.

21 MS. NEUMANN: Yes. So --

22 COMMISSIONER MONAHAN: It's the amount of
23 overall energy saved from fuel switching.

24 MS. NEUMANN: Yes.

25 COMMISSIONER MONAHAN: So in other

1 words --

2 MS. NEUMANN: So, that's not apparent
3 here. Right?

4 COMMISSIONER MONAHAN: Yeah.

5 MS. NEUMANN: So there's just I tried to
6 use impacts for fuel substitution and savings for
7 actual energy efficiency savings. You could
8 argue that for fuel substitution you are saving
9 gas, but it may be more like you're displacing it
10 because you're using electricity instead, but
11 then are you --

12 COMMISSIONER MONAHAN: But it's more
13 efficient.

14 MS. NEUMANN: Right. But are you saving
15 overall energy? Right?

16 COMMISSIONER MONAHAN: Yeah.

17 MS. NEUMANN: Is it actually more
18 efficient? And that's not apparent here, but
19 yes, it is. So if we convert all of this to
20 combined units of BTUs, we could see that yes, it
21 is overall.

22 COMMISSIONER MONAHAN: Overall energy
23 saved from -- okay.

24 MS. NEUMANN: Yes. NGHG reduction. Yes.
25 Very much so.

1 COMMISSIONER MONAHAN: Got it.

2 MS. NEUMANN: Mm-hmm.

3 COMMISSIONER MONAHAN: Thank you.

4 MS. NEUMANN: Yes, of course.

5 VICE CHAIR GUNDA: So Ingrid, just one
6 more question. And I know Commissioner Monahan
7 kind of jokes about GH, but she kind of asks
8 really good questions. So I want to just make
9 sure at the end of the day though, we need to sum
10 these things up for the net impact.

11 MS. NEUMANN: Anitha's got that.

12 VICE CHAIR GUNDA: Okay, so you guys are
13 going to kind of cover later in the net impact
14 that we're going to basically have to sum these
15 things up into the -- into the overall scenario.

16 MS. REDNAM: Yes. Like, for example, for
17 residential and commercial sectors, Ingrid sent
18 me her values for AAEE and AAFS. I applied them
19 for both the electricity and natural gas and like
20 she said, subtract the efficiencies for -- from
21 the baseline consumption, add the AAFS and I sent
22 those numbers to Gabe, which he will cover in his
23 presentation, and then he added his for the other
24 sectors, and then we generated the complete
25 scenario and we see -- can see the results in his

1 presentation.

2 VICE CHAIR GUNDA: Yeah I would -- I
3 would just recommend that we in the, probably
4 another summary slide, of just showing just the
5 net impact of the building sector.

6 MS. REDNAM: Okay.

7 VICE CHAIR GUNDA: That probably would be
8 helpful.

9 MS. REDNAM: Okay.

10 VICE CHAIR GUNDA: Because I think that's
11 where --

12 MS. REDNAM: Yeah. We can do that.

13 VICE CHAIR GUNDA: Commissioner Monahan
14 was also going.

15 COMMISSIONER MCALLISTER: Can I -- can I
16 ask a quick question? So sorry I missed. I had
17 to step out there for a second, but so but I got
18 briefings on this before so I feel like I'm
19 roughly up to date. I guess I have a couple of
20 questions. So did -- are you -- so maybe you've
21 updated the scenarios and so I just wanted to
22 check. You know in the AB 3232 assessment, we
23 actually had a scenario for kind of standard old
24 heat pump upgrades. You know, fuel switching,
25 fuel substitution and then another scenario

1 alongside of that, which was what would happen if
2 we focused on the most efficient heat pumps, and
3 like we really used cutting edge technology and
4 took advantage of that inherent efficiency to the
5 max from heat pumps versus, you know, a furnace
6 or a gas fed water heater. So have you built
7 sort of relative efficiency into the fuel
8 substitution scenarios at all?

9 MS. NEUMANN: So the -- it does have a
10 mix of efficiencies. We removed anything that
11 was not more efficient. Right. Than standards.

12 COMMISSIONER MCALLISTER: Yeah. So they,
13 I mean they have to be at least minimally
14 efficient.

15 MS. NEUMANN: Mm-hmm.

16 COMMISSIONER MCALLISTER: Complying with
17 federal standards. Right?

18 MS. NEUMANN: Mm-hmm.

19 COMMISSIONER MCALLISTER: But I think if
20 we wanted to find programs that really move the
21 needle even more, piggyback on that --

22 MS. NEUMANN: Mm-hmm.

23 COMMISSIONER MCALLISTER: -- investment
24 that people are going to be making in heat pumps,
25 we could sort of really move towards the

1 efficient end of the spectrum and get even more
2 benefit that would have lower impact on, you
3 know, for the same service, lower impact on
4 the -- on the grid, but at the same, you know,
5 would avoid the same greenhouse gas reductions
6 from the gas side.

7 MS. NEUMANN: Right. One could do
8 sensitivity scenarios like that.

9 COMMISSIONER MCALLISTER: So yeah, just
10 something to think about going forward.

11 MS. NEUMANN: Mm-hmm.

12 COMMISSIONER MCALLISTER: Let's see. And
13 then also, I guess this isn't quite within your
14 brief, but I guess just suggesting maybe going
15 forward, you know, since we're going to be
16 looking at implementing, very likely getting
17 significant resources to implement programs that
18 actually incentivize or encourage Californians to
19 replace their gas fired devices with heat pumps,
20 that will have an affordable focus, which means
21 necessarily that it'll be -- it'll have a
22 geographical focus and so I'm sort of wondering
23 on the planning side of things, how much -- well,
24 for the future, it seems like, since we're
25 talking so much about DERs and really trying to

1 move, you know, end-use technologies in a big,
2 big way in the state and are going to be doing
3 that for decades, putting the tools together to
4 be able to drill into the distribution grid and
5 kind of, or at least sort of get more granular
6 than just, you know, utility service territory
7 might be a good idea to build those tools as
8 well.

9 So I'm wondering if anyone's thinking
10 about that. Ingrid, or Anitha, or Mike.

11 MS. NEUMANN: We're always thinking about
12 it, right?

13 COMMISSIONER MCALLISTER: Yeah.

14 MS. NEUMANN: It's often depending on
15 what type of program as far as the granularity,
16 you know, determines what type of granularity we
17 can get.

18 COMMISSIONER MCALLISTER: Yeah. Yeah.

19 MS. NEUMANN: So we are -- we have some
20 plans for some additions, at least for building
21 standards.

22 COMMISSIONER MCALLISTER: Mm-hmm.

23 MS. NEUMANN: Because we can get some
24 more detail there. Other things are in the
25 works, right?

1 COMMISSIONER MCALLISTER: Yeah. Okay. I
2 mean, local building codes are going to influence
3 that. I mean, actually, looking at Commissioner
4 Monahan, I mean, transportation between
5 electrification of transportation and buildings,
6 different parts of the state are going to adopt
7 at different rates. And so that distribution
8 level assessment is, I think, going to be pretty
9 important. And we get questions about that. Can
10 the electric grid handle this electric load?
11 Right? And so I think it's important to start to
12 answer that.

13 MS. NEUMANN: Right. I mean, what I
14 thought was interesting and I mean, you'd really
15 have to look at hourly.

16 COMMISSIONER MCALLISTER: Yeah.

17 MS. NEUMANN: And Mike will go into that
18 a little bit for the other project. But what I
19 thought was interesting on an annual level with
20 the Mitigation Demand Scenario, just for
21 buildings if I pulled together the most
22 aggressive energy efficiency and the fuel
23 substitution, the AAFS 6 as well as the CARB Alt
24 4 modeling in the FSSAT, it only added like 1%
25 total.

1 COMMISSIONER MCALLISTER: Yeah.

2 MS. NEUMANN: So that was kind of, you
3 know, of course the time matters as well, but
4 it's encouraging.

5 COMMISSIONER MCALLISTER: Yeah. And if
6 we also make sure that these heat pumps are load
7 flexible and can --

8 MS. NEUMANN: Right.

9 COMMISSIONER MCALLISTER: -- you know
10 load management standards and can opt into the
11 alt programs and that kind of thing and take
12 advantage of some of these tariffs that we could
13 actually, you know, not really impact peak loads
14 at all. At least that would be the hope,
15 obviously. So anyway. We're all -- yeah we're
16 all --

17 MS. NEUMANN: There's hope.

18 COMMISSIONER MCALLISTER: I think seeing
19 new analyses on the horizon all the time. So I
20 don't want to overload you. But yeah, thanks for
21 this work. I really -- it's great to see it
22 moving forward and I know you're doing a lot of
23 deep thinking about these scenarios, so I
24 appreciate the output. Thank you.

25 MR. JASKE: Commissioner McAllister,

1 back to your very original piece of your
2 questions. We have explicitly modified the FSSAT
3 tool between the generation used for AB 3232 and
4 the current one to separate out the low income
5 portion of residential from overall residential,
6 because we anticipate there are many of these
7 equity issues that that's going to be important.
8 I won't say that we have got all the data neatly
9 segregated as well because there obviously are
10 different appliance holdings and different
11 traditional efficiency choices between low income
12 and sort of ordinary citizens, but the structure
13 is there to help illuminate the scale differences
14 between low income residential and the rest of
15 residential.

16 COMMISSIONER MCALLISTER: Thanks a lot,
17 Mike. And, you know, as we get this
18 responsibility from the governor and the
19 legislature to implement programs with
20 significant resources with an affordable, you
21 know through an affordable lens, with an
22 affordable focus, the targeting, the sort of
23 slicing and dicing, you know, demand and
24 overlaying with demography, and climate, and you
25 know heat impacts, and fire, and all that is

1 going to be really important, I think, to at
2 least get a first, second, third cut of what
3 parts of the state and what communities are
4 likely to be the focus or ought to be the focus
5 of those resources. So this this conversation is
6 really vital, I think, in the sort of near,
7 medium and long term, actually. So I appreciate
8 that and it's great to know you're thinking about
9 that as well. To know that you've built that
10 capability, rather. So thanks.

11 VICE CHAIR GUNDA: Just one kind of one
12 additional question, kind of teeing off from
13 Commissioner McAllister's kind of line of
14 thinking there. I mean, we don't -- we don't
15 need to kind of discuss this at large today, but
16 kind of just flagging it, as I wonder, given the
17 large amount of investment that might be put into
18 low income, specifically, you know, that the
19 opportunity for potential market transformation
20 rate and what that does in terms of accelerating
21 some of our goals and some of the electrification
22 overall and how do we capture that better moving
23 forward? Again, this is a lot of work. I'm just
24 kind of flagging that as an opportunity.

25 And the other question I'm just kind of

1 thinking through, do we -- how are we handling
2 behind the meter over time in terms of either
3 behind the meter solar or storage, you know, in
4 terms of, I mean I thought of the Demand
5 Forecast, because we're taking the managed, we
6 have a certain level of behind the meter solar
7 and storage. Right? So what are we doing for
8 those elements over time in the Mitigation
9 Compliance Scenarios?

10 MS. REDNAM: So Vice Chair Gunda this is
11 a question for Gabe, because we have used E3s
12 model for behind the meter and the other stuff?

13 MR. MANTEGNA: Yeah, sure. So everything
14 shown here is just consumption, right? So before
15 subtracting any of that, right. And I believe we
16 just aligned with everything that's used in the
17 CPUC IRP for all the behind the meter stuff. So
18 I think it's just all the PV that's built into
19 the Standard IEPR Forecast is what we're used,
20 yeah.

21 VICE CHAIR GUNDA: So there isn't any
22 additional -- so I'm just kind of thinking
23 through that in SB 100, for example, we've taken
24 the Reference Scenario, which is with the Demand
25 Forecast.

1 MR. MANTEGNA: Mm-hmm.

2 VICE CHAIR GUNDA: And we basically took
3 the behind the meter solar and then extended it
4 all the way to 2045.

5 MR. MANTEGNA: Mm-hmm.

6 VICE CHAIR GUNDA: I believe it was about
7 30 gigs of behind the meter solar.

8 MR. MANTEGNA: Yep.

9 VICE CHAIR GUNDA: So in terms of -- so
10 we are using that?

11 MR. MANTEGNA: Yes.

12 VICE CHAIR GUNDA: Okay. And nothing
13 incremental to that.

14 MR. MANTEGNA: Nothing incremental.
15 Yeah, exactly.

16 VICE CHAIR GUNDA: Thanks.

17 MS. RAITT: Okay. Thank you. Ingrid,
18 are we ready to go on to Quentin Gee on
19 Transportation? Thank you.

20 MR. GEE: Good afternoon, Commissioners.
21 Just waiting for -- sorry my screen's -- okay.
22 All right.

23 So we have the slides ready to go. Good
24 afternoon. My name is Quentin Gee. I'm the
25 supervisor for the Transportation Energy

1 Forecasting Unit. And, yeah, we're going to
2 discuss the transportation approach to the 2050
3 scenarios.

4 So on this slide, we can see our time
5 frame is 2022 to 2050, and we have our three
6 different approaches, as Anitha laid out before
7 for transportation. We have our Reference
8 Scenario. We have a Policy/Compliance Scenario,
9 and then our Mitigation Scenario. I'll explore
10 these a little bit more in detail. But basically
11 what we do is we take the general model approach
12 is that we take different vehicle populations and
13 run those through. So we have certain models or
14 assignments that we use to determine vehicle
15 populations. And then from there, those go into
16 our vehicle miles traveled models and then into
17 our energy consumption calculations. From there,
18 E3 takes on the greenhouse gas modeling from
19 there. Next slide, please.

20 So looking at the Reference Scenario, we
21 can see more or less that the sort of just the
22 baseline scenario that we had from our adopted
23 managed demand forecast, only what we did is we
24 extended it to 2050. We had certain things such
25 as vehicle for light-duty and heavy-duty, we had

1 vehicle attributes sort of extended out further
2 beyond their typical endpoint. You know the
3 forecast generally ends at -- the forecast from
4 2021, from the 2021 IEPR, ends in 2035. And so
5 what we did was we just extended those to 2050
6 with the sort of curves that we had for certain
7 vehicle attributes, particularly vehicle price.

8 And then what we did is we sort of built
9 from there. We did have certain existing
10 regulations and incentives in place, but these
11 are very modest compared to what is on the near
12 horizon and in the future. We have the, or
13 relatively modest, right. We have the Hybrid and
14 Zero-Emission Truck, Bus and Bus Voucher Program.
15 We have the Clean Vehicle Rebate Program, the
16 Advanced Clean Trucks Rule, which is a rule on
17 truck manufacturers. And then we have Advanced
18 Clean Cars I. Advanced Clean Cars I was a
19 regulation that only goes to about 2025 from
20 CARB. Next slide.

21 So with that Reference Scenario in place,
22 we kind of want to ask ourselves, you know, what
23 is going to happen, you know, beyond that, above
24 that, from what we can see in terms of near-term
25 policy goals that are policies, that are likely

1 to pass in the near future. So what we did is we
2 took a look at two major policies that are
3 expected to have a significant impact on vehicle
4 adoption rates. So we took a look at Advanced
5 Clean Cars II, which is a CARB regulation that
6 will require 100, or that will incrementally
7 increase the percentage of zero-emission vehicles
8 required by OEMs, or original equipment
9 manufacturers, to, they have to increase their
10 ZEV credit system to approach 100% new ZEV sales
11 by 2035. Currently we're looking at about 12 and
12 a half percent sales, ZEV sales, in 2021 and that
13 trend seems to be continuing upwards, but the ACC
14 II regulation, which starts in 2026, will
15 continue to require more ZEV sales on the part of
16 OEMs.

17 We also have the Advanced Clean Fleet
18 requirements. The Advanced Clean Fleet
19 requirements are a little bit different. These
20 are on the fleet operators. That requires them,
21 depending on the vehicle classification in
22 question, you know, you could talk about, say a
23 van, you know, required to be a zero-emission
24 vehicle versus a class 8, you know, semi-truck.
25 So they have different targets depending on the

1 years, the duty cycle. Like, where are these
2 trucks operating and what are they doing? But
3 you know, various different requirements that we
4 have in there from the CARB Advanced Clean Fleets
5 requirement, but again approaching 100% ZEV sales
6 in various years.

7 Then on the next slide, we can see the
8 Mitigation Scenario. The Mitigation Scenario,
9 basically it's roughly a cut and paste of what
10 CARB puts forward in the 2020 Mobile Source
11 Strategy. Again, this is in terms of the vehicle
12 populations. What we do is we take in the
13 light-duty case, we basically just assigned what
14 CARB had in its -- in its Mobile Source Strategy
15 up through 2034. And then in 2035, our vehicle
16 models, basically the sales that are introduced
17 in that model were assigned to be 100% ZEV.

18 And again in for the medium- and heavy-
19 duty case, a similar framework although more
20 aggressive adoption rates in the Mobile Source
21 Strategy compared to the Advanced Clean Fleets
22 rule. Next slide.

23 So before we get into the main results,
24 there are some just general policy takeaways that
25 we can think about. We don't have as much

1 clarity on the light-duty policy needs from these
2 scenarios. The limitation there is that we took
3 the assigned populations determined by CARB and
4 sort of inserted them into our model framework.
5 But one of the reasons why we did that is because
6 our current models were not able to produce the
7 kinds of results we were looking for. So that
8 suggests that there, for us, that there is a need
9 for continued incentives for vehicles. At the
10 same time, there's some uncertainty there
11 because, you know, preferences change, prices
12 change in ways that we can't always predict, as
13 the last few like month and a half have shown us
14 different oil prices, material prices. These
15 things can be quite in flux. But we do think
16 that there still is some, probably some strong
17 need for continued incentives, but yeah, some
18 uncertainty around there.

19 With medium- and heavy-duty it's a little
20 bit of a different story. Of course, there's
21 some uncertainty there associated with vehicle
22 prices, but we also -- and so we think that there
23 might be some need for incentives. But one other
24 significant thing that we realized we would most
25 likely need, or you know potentially need here,

1 is vehicle retirements. These are basically kind
2 of, you know, years where we say, okay, any truck
3 of this age or older, you're out and got to get
4 some more -- some new ones. And these are going
5 to need to be ZEVs most likely, depending on the
6 year and the vehicle in question. But those
7 accelerated vehicle retirements were something
8 that our models needed to get to the results we
9 need -- we wanted to see in the both cases, both
10 scenarios.

11 The last thing, and E3 will touch on this
12 a little bit, is that aviation fuel remains a
13 greenhouse gas concern. This is one of the areas
14 where our model is not as sophisticated. And,
15 you know, there's a lot of uncertainty about what
16 that area looks like, but that could become an
17 increasingly important and salient feature of
18 greenhouse gas analyses when we look into the
19 future there. We probably are going to want to
20 look at some kinds of solutions on that front and
21 quickly, because they quickly turn into the major
22 source of emissions for transportation several
23 years out.

24 On the next slide, we can see kind of the
25 main results from this. The Reference Scenario,

1 again, one thing to clarify here, I put little
2 dashed lines here in 2035, which is a common
3 reference here, the 100% Executive Order N-79-20
4 100% ZEV sales goal is that year and it's kind of
5 a good midpoint-ish for us. So the dashed lines,
6 the dashed vertical lines show us the year 2035
7 and then we can sort of see how the Reference
8 Scenario looks, which is not particularly, yeah,
9 not -- it doesn't look all that inspiring, I
10 guess.

11 But then we have the Policy/Compliance
12 Scenario and then we have the Mitigation Scenario
13 where we can see some accelerated ZEV adoption in
14 this case for the light-duty sector. I've also
15 added in some dashed lines here for 5 and 10
16 million vehicle stock. And you can see that the
17 Policy/Compliance case versus the Mitigation
18 case, so looking at the center versus the right,
19 we can see that there's a little bit more going
20 on in the Mitigation case. It's a little bit
21 harder to see without these dashed lines. But
22 basically our ZEV stock in the bottom, we can see
23 under the Reference case, 5.4 million in 2035,
24 approaching 10 million in 2050. But then in the
25 Policy/Compliance and the Mitigation Scenario, we

1 can see 12.8 million and 31 million for the
2 Policy/Compliance, and then Mitigation we see a
3 higher 2035 year, approaching 15 million ZEVs on
4 the road. I think that's it for this one.

5 On the next -- one thing to keep in mind,
6 one last thing to keep in mind is basically,
7 again, maybe just to reiterate this point,
8 2035 -- 2034 is the year where we kind of have
9 the CARB vehicle assignments. And in 2035,
10 that's when our model and our new vehicle sales
11 component of our existing models kicks in at 100%
12 ZEV. So this would likely be something that if
13 you were to compare with the way CARB has it, if
14 they have any projections out to 2050, it would
15 look a lot different, but it should look exactly
16 as CARB does, at least the ZEV stock levels
17 should look exactly as CARB has them up to 2034.
18 Next slide.

19 Here we can just take a look at how these
20 scenarios stack up with each other, just in terms
21 of ZEVs. There's not a whole lot different in
22 this from the previous slide, but here we can
23 sort of just zero in on the ZEV stock numbers.
24 Here we can see that the Reference case, again,
25 kind of fairly linear and then the

1 Policy/Compliance and Mitigation really ramping
2 up, but the Mitigation case ramping up a little
3 bit more aggressively in the near-term. So
4 there's, even though it doesn't look like there's
5 a huge difference between them and they appear to
6 converge, there is a sort of similarity or excuse
7 me, there is a good early-term difference here,
8 and that could be somewhat significant in terms
9 of emissions as well. Next slide.

10 Here we can see the MDHD stock results as
11 well. So these are the vehicles on the road for
12 the medium- and heavy-duty case. The Reference
13 Scenario is kind of, you know, you can see here
14 that basically ZEVs kind of appear to just
15 roughly just sort of replacement. You know, we
16 expect the economy to grow. We expect there to
17 be more vehicles on the road. And it's just kind
18 of roughly kind of like for each new vehicle
19 added on the road, they're just kind of ZEVs,
20 more or less. I mean, obviously, there's
21 different fluctuation going on there. But you
22 know, we still have a lot of ICEs in 2050 under
23 the Reference case scenario.

24 But then we can see under the
25 Policy/Compliance Scenario, we have Advanced

1 Clean Fleets kicking in here. One little thing
2 that viewers might be able to see in this middle
3 Policy/Compliance chart here is there's a little
4 tiny dip here from 2030 to 2031. That represents
5 a -- an early retirement program where a bunch of
6 vehicles are forced to retire, to be replaced
7 with ZEVs.

8 And again, in the Mitigation case, you
9 can see here, the Mitigation case does have more
10 aggressive incentives as well, but also does need
11 a couple of early vehicle retirement situations
12 happening from 2025 to 2026 and then at 2030 to
13 2031 as well. That allows us to approximate the
14 CARB vehicle targets using our model. Next
15 slide.

16 VICE CHAIR GUNDA: Hey Quentin.

17 MR. GEE: Yeah.

18 VICE CHAIR GUNDA: Quick question on the
19 previous one.

20 MR. GEE: Mm-hmm.

21 VICE CHAIR GUNDA: So just kind of the
22 what is the technology mix when we talk about
23 ZEVs. Is it -- what's -- I mean, are you going
24 to discuss that in your slide deck or?

25 MR. GEE: Yeah. Primarily, yeah that's

1 not actually in here. Primarily what's going for
2 medium- and heavy-duty?

3 VICE CHAIR GUNDA: Yeah.

4 MR. GEE: It's primarily BEVs, but as I
5 think 2030 approaches, maybe a little bit sooner
6 than that, we do see some fuel cell electric
7 vehicles coming into the market. You know, those
8 tend to be more in the heavier-duty class 8 type
9 range because that's where I think the cost case
10 is. As with the information we have now, that's
11 where they're most likely to be penetrating
12 first. But I don't have precise numbers on that.
13 Do you want me to look those up? I might have
14 some.

15 VICE CHAIR GUNDA: No.

16 MR. GEE: Mm-hmm.

17 VICE CHAIR GUNDA: Just kind of curious.
18 Kind of just thinking this through on an energy
19 balance, you know, depending on how many fuel
20 cell vehicles we might have, you know, again, the
21 green hydrogen to the electricity load.

22 MR. GEE: Mm-hmm.

23 VICE CHAIR GUNDA: Just wanted to make, I
24 mean just flagging for myself as like how we are
25 considering all the interactive effects.

1 MR. GEE: Yeah. Yeah. I don't know the
2 exact fuel mix breakdown. Hydrogen does remain a
3 somewhat small proportion of total
4 zero-emission vehicle fuels. But yeah, we also,
5 just to be clear, we don't include electricity.
6 We include electricity for charging the -- for
7 charging battery electric vehicles or plug-in
8 electric hybrid electric vehicles. We don't have
9 electricity, say for electrolysis associated with
10 producing hydrogen. So that is something that I
11 think would be something for us to explore in the
12 future. But yeah, it does take a good amount of
13 electricity to make the hydrogen, which is
14 incorporated here. Yeah.

15 Okay. Next, yeah. I think this is it.
16 Yeah. So here we can look at the Transportation
17 Energy Demand from Combustion Fuels. Here we've
18 got natural gas, diesel, gasoline. And again,
19 the Reference case, kind of the mirror of the
20 two, where if you have a lot of internal
21 combustion vehicles, you're not going to see the
22 kind of decline that you would see. These
23 vehicles do become more efficient over time, so
24 you do see a bit of a decline in combustion fuels
25 and a bit of increased penetration for ZEVs. But

1 we still have a lot quads, or quadrillion Btu of
2 energy consumption from these fuels.

3 If you look at the Policy/Compliance and
4 the Mitigation however, you can also -- you can
5 see that those combustion fuels do decline
6 significantly. The Policy/Compliance case, you
7 might notice that that actually kind of shoots
8 above the Reference case. The reason for that is
9 because we did the CARB assignment of vehicles
10 and currently ACC I, or Advanced Clean Cars I, is
11 not -- the market appears to have overshot that
12 regulatory requirement. So if we stick with just
13 what the regulation says, then we're going to
14 have fewer BEVs, or whatever BEVs on the road and
15 more ICEs. So yeah, so that's a little fuzzy
16 there that might not match, you know, but just as
17 a scenario, that's kind of what it could look
18 like. Mitigation rapidly does shoot down with
19 the combustion fuel so. Next slide.

20 We can see --

21 VICE CHAIR GUNDA: Just one thing on this
22 one.

23 MR. GEE: Yeah. Mm-hmm.

24 VICE CHAIR GUNDA: I think this is,
25 again, a flag for us to think about. So I'm just

1 going to -- my mindset has been reliability and
2 emergency planning. So given that California is
3 largely kind of an island in terms of refining
4 capacity -

5 MR. GEE: Mm-hmm.

6 VICE CHAIR GUNDA: -- I think it's
7 important for us to track the gasoline and other
8 fuel side of it, to understand the refinery
9 margins we have in California, like our peak
10 demand. I think it's important from tracking
11 kind of the price impacts, you know, on the
12 gasoline and diesel overtime. So just kind of
13 understanding the ramp, right. So we have the
14 same thing on the electricity side where we want
15 to rapidly decarbonize the grid, but we want to
16 ensure the reliability of supply. And how do we
17 think about as we decarbonize, especially the
18 transportation sector in the LDV side, you know,
19 what does that do to in California capacity of
20 fuels and how does that -- are we situated well
21 to ensure that the transition is happening
22 reliably from a supply side.

23 MR. GEE: So are you thinking in terms of
24 electricity, Commissioner, or are you thinking
25 about --

1 VICE CHAIR GUNDA: The fossil side too.

2 MR. GEE: The fossil side. Okay. Yeah.

3 That is an important challenge. I mean, if
4 demand drops, you know, I'm not sure what CARBs
5 goals are in terms of production of gasoline,
6 let's say. But that certainly is something here
7 that it looks like demand could drop quite a bit.
8 And the impacts associated with just fewer cars
9 needing gasoline, that's uncertain. Something
10 for us to definitely take a look at.

11 COMMISSIONER MONAHAN: Well I also think
12 it might be, I mean, I'm taking us too much down
13 a rabbit hole on this one. It might be worth a
14 separate workshop on this, but I mean, refineries
15 are making choices about how much to manufacture
16 diesel versus gasoline versus other products.
17 And we're seeing refineries close or converted
18 into biofuel facilities. And some of these
19 choices around, you know what refineries are
20 doing are so far out of the modeling that we're
21 doing here, that and those, I think, are what's
22 driving the cost impacts to Californians today.
23 So I would just think we might want to
24 consider separating out the production of these,
25 of gasoline and diesel mostly, and the price

1 impacts and the constraints that we're facing in
2 California from this modeling. They're related.
3 But the choices that these refineries are making
4 are, you know, that's why the price of fuel is so
5 high.

6 MR. GEE: Yeah.

7 VICE CHAIR GUNDA: So, yeah, just kind of
8 kind of thinking that through I think that's
9 exactly kind of the point on how do we send this
10 the signal, right? I mean, like, how do we at
11 least for situational awareness, what is the
12 demand going to look like? And is there a
13 conversion or kind of a closure of refineries
14 comport with that. If not, you know what are the
15 mitigation strategies for California in ensuring
16 adequate supply? Right? So there are other
17 strategies that we could pursue. But I can I
18 think flagging those things would be really
19 helpful during this transition. I think those
20 transitional issues.

21 MR. GEE: Okay. Yeah, definitely some
22 questions that we need to explore there. Yeah.
23 You know, as a global commodity, it's, you know,
24 kind of tied into all this. But yeah, the
25 refineries and what are their plans if, you know,

1 if this starts to come to fruition, then the
2 reduction in demand from that could have impacts
3 on in-state production of the fuels or processing
4 of the fuels into combustion -- into fuel
5 products for vehicles. Yeah. Great. I think
6 next slide.

7 Here is sort of, again, the sort of
8 inverse of this. You're looking at gigawatt
9 hours. This is -- this is electricity. This,
10 again, does not include any potential electricity
11 from electrolysis associated with fuel cell
12 electric vehicles. And we do have some fuel cell
13 electric vehicles in light-duty and in the heavy-
14 duty as well in the population. So their, that
15 zero-emission vehicle energy consumption is, or
16 demand, is not shown here.

17 But we can see sort of lock and step with
18 the rest. We do see an increase in electricity
19 demand. It's hard to know the exact, you know,
20 future on this, but this does represent a very
21 large proportion of current in-state electricity
22 demand. I think we are around, I can't remember
23 the exact number, but I think approaching around
24 300,000 gigawatt hours statewide. And so 2050,
25 200,000 is a lot of electricity. At the same

1 time, it's not like that needs to happen
2 tomorrow. So but it is something for us to keep
3 in mind about the energy impacts from increased
4 electrification of transportation.

5 And I think that is it for my
6 presentation. Thanks.

7 MS. RAITT: Great. Thank you so much,
8 Gabe. So next we have Gabe Mantegna from E3. So
9 go ahead, Gabe.

10 MR. MANTEGNA: You can go ahead to the
11 next slide, please. So good afternoon, everyone.
12 My name is Gabe Mantegna. I'm a senior
13 consultant at E3. And so what I'm going to be
14 talking about now is putting all of these energy
15 demands together and then adding them to other
16 energy demands that weren't modeled. So, for
17 example, like the minor fuels, and press and
18 comm, and industry, and agriculture, and then
19 adding everything all together and then seeing
20 where we get in terms of emissions.

21 So as far as my presentation goes, I'll
22 be talking first a bit about the motivation and
23 the context here and then I'll talk a bit about
24 what the PATHWAYS model is and how it works.
25 I'll talk a bit about the scenario assumptions to

1 be used in PATHWAYS, and then I'll talk about our
2 results. So you can go to the next slide,
3 please. Yeah.

4 So why are we even using PATHWAYS here?
5 Right. So what we're doing in PATHWAYS is what
6 we have from the IEPR Demand Scenario side is
7 indicated in this dotted box on the left here of
8 the graphic. And so what we have coming from the
9 CEC side is just energy demands for residential,
10 commercial, and transportation. But it's
11 actually a relatively small part of the overall
12 economy wide picture here. So what we do in
13 PATHWAYS is we're adding an energy demands for
14 industry, agriculture and other minor fuels. And
15 then, as indicated by the middle box here, we're
16 then adding in emission factors via assumptions
17 on things like biofuels and electric generation,
18 and then we're also adding in non-energy
19 emissions. And then we can look at then what the
20 overall economy-wide picture looks like in terms
21 of emissions. You can go ahead to the next
22 slide, please.

23 So what is PATHWAYS? PATHWAYS is an
24 economy-wide, bottom-up model of energy demand
25 and emissions. And a very important thing to

1 understand about PATHWAYS is that it is very much
2 a user defined scenario tool. So contrary to the
3 CEC modeling that is used here, it's not intended
4 to be a forecast of impacts of any policies.
5 It's much more of a what-if scenario tool, right?
6 The thing that is different here is that we are
7 actually directly plugging in those inputs from
8 the CEC's modeling for residential, commercial
9 and transportation. So it's only the other
10 sectors where we really are using the main
11 PATHWAYS model.

12 So what PATHWAYS is used for generally as
13 it's used to evaluate the emissions implications
14 of various infrastructure transformation
15 trajectories. So a kind of question that
16 PATHWAYS would be able to answer is something
17 like what's the impact on emissions if you had
18 100% sales of light-duty vehicle EVs by 2035?
19 It's not intended to ask what is the most cost
20 optimal PATHWAY? It's more of just comparing
21 different scenarios.

22 And then on the right here, I just have a
23 schematic of how at a pretty high level how
24 pathways works. So first we have our energy
25 demand module, which adds together all of the

1 energy demands from the different subsectors.
2 And then we have our energy supply module which
3 adds emission factors via assumptions on biofuel
4 blending and electric sector emissions.
5 And then we add all of those things together and
6 then we can look at the total emissions from the
7 economy over time. Next slide, please. Yeah.

8 So what I have here is a table which is
9 showing the assumptions for the different
10 scenarios that we use in PATHWAYS. And so we've
11 already talked a bit about what the scenario
12 philosophy is here, so I won't spend too much
13 time on that. But just to kind of walk you
14 through what the table is showing here. So the
15 three main columns here are the three scenarios
16 and then the different rows are the different
17 categories of assumptions. And then these
18 assumptions are color categorized by the large
19 scale category. So you can see that the Res
20 common transportation is categorized together
21 because those energy demands are all provided by
22 the CEC's modeling. And then for industry and
23 agriculture, which includes also petroleum
24 refining, the energy demands there are provided
25 by PATHWAYS.

1 And then the other thing that pathways
2 adds is assumptions on electric generation, low
3 carbon fuels and non-combustion emissions. So I
4 won't talk through all of the specific scenario
5 assumptions here, but just at a high level to
6 kind of highlight the most important things here.
7 The Reference Scenario in terms of the
8 assumptions we add in pathways is aligned with
9 currently implemented policies on all fronts. So
10 a couple of highlights here: that includes the 38
11 MMT by the 2030 GHG target that has been adopted
12 by the CPUC IRP, we have the Low Carbon Fuel
13 Standard for 2030, or through 2030, which has
14 been adopted by CARB. And then we also have some
15 existing CARB regulations on refrigerants and
16 manure.

17 And then so the main thing then that is
18 different about the Policy/Compliance Scenario,
19 which is the second column here, everything on
20 the PATHWAYS side is mostly the same except we
21 have further reductions in non-combustion
22 emissions. So we're compliant here with SB 1383,
23 which has a 40% production goal for methane and
24 HOC emissions by 2030.

25 Then lastly, for the Mitigation Scenario,

1 which is on the right here, the main change here
2 is that there's a fair amount of industry
3 decarbonization for which there's no existing
4 policies other than cap and trade of course,
5 which industry is under. Right. But so we have
6 some pretty aspirational industry decarbonization
7 in this scenario. So it's almost fully
8 decarbonized by 2050 through a combination of
9 carbon capture and storage, hydrogen, and
10 electrification. No agriculture decarbonization
11 though, which is actually consistent with
12 existing PATHWAYS scenarios and what's included
13 in the agriculture demands sector here is
14 actually not any of the manure things or
15 anything. It's mainly just energy demands for
16 tractors and food processing and whatnot. So
17 it's actually not very big.

18 The main other change here is that we
19 have accelerated GHG reductions in the electric
20 sector, so we hit 30 MMT by 2030 and then we have
21 the SB 100 constraint after that, which is a 100%
22 clean electricity target by 2045. Another thing
23 that changes here is, is that we also have an
24 increased use of advanced biofuels after 2030 and
25 then continuing reductions in non-combustion

1 emissions after 2030. Next slide, please.

2 COMMISSIONER MONAHAN: Can I ask you just
3 a quick question before you --

4 MR. MANTEGNA: Yeah, sure.

5 COMMISSIONER MONAHAN: So there's
6 no -- so you're not -- what about like electric
7 tractors? You know, now that is all the rage.

8 MR. MANTEGNA: Yeah.

9 COMMISSIONER MONAHAN: And the autonomous
10 electric tractors --

11 MR. MANTEGNA: Totally.

12 COMMISSIONER MONAHAN: -- because there's
13 a labor shortage.

14 MR. MANTEGNA: Yeah.

15 COMMISSIONER MONAHAN: And where does
16 that fit in, if at all?

17 MR. MANTEGNA: Yeah. So that would
18 definitely fit in here. We don't currently have
19 any of those being used here.

20 COMMISSIONER MONAHAN: Mm-hmm.

21 MR. MANTEGNA: I will say it's not a huge
22 energy demanding sector, so it wouldn't have a
23 major impact on economy-wide emissions. But yes.
24 So that is actually not considered here.

25 COMMISSIONER MONAHAN: Mm-hmm. Okay. So

1 there are future improvements to the modelling.

2 MR. MANTEGNA: Yeah. Exactly.

3 COMMISSIONER MONAHAN: All right.

4 MR. MANTEGNA: Yeah. So now I'm going to
5 talk about our scenario overall GHG results for
6 the Reference Scenario.

7 COMMISSIONER MONAHAN: Sorry.

8 MR. MANTEGNA: Yeah. Go ahead.

9 COMMISSIONER MONAHAN: This is my last
10 one. I promise.

11 MR. MANTEGNA: No worries.

12 COMMISSIONER MONAHAN: So on the off-road
13 ZEV question.

14 MR. MANTEGNA: Mm-hmm.

15 COMMISSIONER MONAHAN: Is there -- is
16 there anything in your modeling that looks at
17 off-road ZEVs? I mean --

18 MR. MANTEGNA: Mm-hmm.

19 COMMISSIONER MONAHAN: -- because again,
20 it's we're seeing it happen. In fact, I was just
21 at a mine, Rio Quinto, where the biggest electric
22 like mover of earth you've ever seen.

23 MR. MANTEGNA: Yeah.

24 COMMISSIONER MONAHAN: Like it's
25 happening.

1 MR. MANTEGNA: Yeah.

2 COMMISSIOENR MONAHAN: And I'm just
3 wondering who's accounting for that.

4 MR. MANTEGNA: Yeah. So we do have
5 actually some off-road demand that is actually
6 included under the industry sector here.

7 COMMISSIONER MONAHAN: Oh. Okay.

8 MR. MANTEGNA: And so those are things
9 that are not modeled by Quentin's modeling.

10 COMMISSIONER MONAHAN: Okay.

11 MR. MANTEGNA: And I believe that we do
12 have a fair amount of decarbonization there
13 through electricity, or through ZEVs.

14 COMMISSIONER MONAHAN: Great.

15 MR. MANTEGNA: Just not in Ag, basically.
16 Yeah.

17 COMMISISONER MONAHAN: All right.
18 Thanks. Thank you.

19 MR. GEE: Yeah. Commissioner Monahan,
20 also the 2021 IEPR does include an
21 off-road vehicle energy demand. That is not a
22 part of this scenario. We didn't -- we weren't -
23 - we weren't aware of any kinds of, you know,
24 strong policies on the off-road sector that were
25 going in that direction, so we didn't add

1 anything to it there.

2 COMMISSIONER MONAHAN: Yeah. And I think
3 that's something we'll have to think about in the
4 future.

5 MR. GEE: Yeah.

6 COMMISSIONER MONAHAN: Because it's part
7 of the executive order.

8 MR. GEE: Yeah.

9 COMMISSIONER MONAHAN: In fact, it's
10 extremely strong in the executive order.

11 MR. GEE: Yeah.

12 COMMISSIONER MONAHAN: So it's like uh-
13 uh. Not just new but existing vehicles. So
14 yeah.

15 MR. MANTEGNA: Yeah. I think it's 100%
16 of existing by 2035.

17 COMMISSIONER MONAHAN: Yeah.

18 MR. MANTEGNA: That's pretty strong.

19 COMMISSIONER MONAHAN: It's very strong.

20 MR. MANTEGNA: Okay.

21 VICE CHAIR GUNDA: Again, I apologize.
22 Just a quick question on the non-combustion
23 emissions.

24 MR. MANTEGNA: Yeah.

25 VICE CHAIR GUNDA: So the 1383 --

1 MR. MANTEGNA: Mm-hmm.

2 VICE CHAIR GUNDA: So what are you -- so
3 the -- it's the 75% of diversion, right? Of
4 inorganics by 2030.

5 MR. MANTEGNA: Mm-hmm.

6 VICE CHAIR GUNDA: So are we assuming 40%
7 of that. I mean are like, what is that?

8 MR. MANTEGNA: No. Yeah. So the 1383
9 goal is just on the emissions, right? And so
10 the, the diversion of organics is a pretty
11 separate question, right? Because that's mainly
12 for like new landfills.

13 VICE CHAIR GUNDA: Okay.

14 MR. MANTEGNA: Right. So there's not a
15 75% GHG production mandate for landfills. Yeah.
16 Mm-hmm.

17 Yeah. So now I'll talk a bit about this
18 scenario results for the Reference Scenario. So
19 what we're looking at in the bottom left here is
20 the energy demands over time by fuel. The main
21 thing to highlight here is that the electric
22 loads are increasing over time, which you can see
23 by this dark orange bar at the bottom. But and
24 they increase about 50% by 2050. And the blue
25 and the light blue bars, you can also see that

1 that there's a fair amount of renewable diesel
2 blending over time and that's due to the LCFS.
3 There's not a huge change in gasoline demand or
4 natural gas demand over time.

5 And then the one other thing to highlight
6 here is this hash bar up top, which you might be
7 wondering about. And what this is, is the jet
8 fuel demand for flights that are flying in and
9 out of California. So the jet fuel demand for
10 these flights is actually not included in the
11 CARB GHG inventory. So historically it has never
12 been included in the PATHWAYS model because it's
13 aligned with the GHG inventory. So we just show
14 that here for a reference.

15 And so moving on to the impacts on
16 emissions, which is the bottom right here. What
17 we see is that the emissions overall are
18 declining over time, but we definitely don't hit
19 the 40% by 2030 GHG goal and that is indicated by
20 the top dotted line there. Next slide, please.
21 Yeah.

22 So now a bit about the results of the
23 High Electrification Policy/Compliance Scenario.
24 And this is possibly, I would say, the most
25 interesting and important scenario because it's

1 showing the impact of expected new policies.
2 Right. So what we're seeing here in the energy
3 demands on the bottom left is a pretty
4 significant increase in electric loads by 2050,
5 with loads almost doubling to about two extra
6 joules by 2050. And you can also see a fair
7 amount of renewable diesel blending here in the
8 light blue bar, and this is once again due to the
9 LCFS.

10 The main notable thing also here on the
11 bottom left is the pretty significant decline in
12 gasoline demand. So it's cut almost, I would say
13 about 80% by 2050. The natural gas demands are
14 decreasing over time a fair bit too. This is
15 mainly due to fuel substitution, but there's
16 still a fair amount remaining and that's mainly
17 due to natural gas demands in this industry. And
18 so what we see in terms of emissions here on the
19 bottom right, and this is a pretty significant
20 finding I would say, is that even with all of
21 these expected new policies, and the 100% sales
22 of ZEVs by 2035, and the State Implementation
23 Plan for 2030, we still don't hit our 2030 GHG
24 goal. So this is highlighting a pretty
25 significant gap there. Yeah. So then we'll,

1 we'll see on the next slide is what is then
2 required to, to close that gap.

3 So yeah, we're now looking at the High
4 Electrification Mitigation Scenario. And once
5 again, the main thing that's different here is
6 there's a lot more industry decarbonization here.
7 And so because of that, you can see on the bottom
8 right graph here that we do actually hit our 2030
9 goal. And so I can -- I can tell you a bit about
10 what exactly is causing us to get there. The
11 main thing is the industry decarbonization. So
12 there's a fair amount of GCFs on petroleum
13 refining by 2030 and there's also a fair amount
14 of industry hydrogen and electrification. And
15 then also that electric sector GHG target is
16 lower too. So the combination of all of those
17 things does get us to our GHG goal.

18 One other notable thing here is you see
19 that even with all of these aggressive
20 assumptions, we still don't hit our 2050 goal,
21 which is the 80% below 1990 levels. And the main
22 reason for that, I would say, is that the
23 electric power emissions are still pretty big,
24 which I will talk about in a couple of slides
25 here.

1 And one other thing you might be wondering
2 about, right, is our Carbon Neutral Goal for 2045
3 and why that isn't on here. So the Carbon
4 Neutral Goal is not strictly a zero direct
5 emissions goal, right? It assumes that there can
6 still be some remaining emissions and that those
7 can be offset with negative emissions. So that's
8 not shown here, but it is important to consider.
9 Next slide, please. Yeah.

10 So here I just have a summary of the
11 three scenarios in terms of emissions. And once
12 again you can see that the Policy/Compliance
13 Scenario, which is in the middle, does not hit
14 our 2030 GHG goal. And then the Mitigation
15 Scenario, which is on the right does. Next
16 slide, please.

17 So just as a bit of context here. This
18 High Electrification Mitigation Scenario, even
19 with all of those inputs from the CEC's modeling
20 for Res common transportation is actually pretty
21 similar to past High Electrification Scenarios
22 that we've modeled in PATHWAYS. The main
23 difference I would say is if you look at this
24 light blue bar, which is the electric power
25 emissions, the current scenario is aligned with

1 SB 100, which actually does have a fair amount of
2 remaining emissions in the electric sector, which
3 I'll talk about on the next slide here. Whereas
4 in past PATHWAYS scenarios, we've generally
5 assumed a pretty deep reductions in the electric
6 sector. So that's -- that I would say, is the
7 main difference. And then the other thing, of
8 course that's different is that we haven't
9 modeled any jet fuel demand for out-of-state
10 flights in the past. So. You can go ahead to
11 the next slide, please.

12 Yeah so as promised, I also have a bit of
13 an explanation for why the electric power
14 emissions are so high here through 2050, despite
15 that SB 100 constraint for 100% clean energy.
16 Right. So there's two main reasons here that
17 this is happening. So if you look at the blue
18 bars here on the bottom of the dark blue and the
19 light blue bar is showing that. So the total
20 load that generators see, right? So that is
21 partially made up of the retail sales and the
22 state loads and actual loads on the demand side.
23 But there's also a piece of that that that load,
24 that's the transmission and distribution losses.
25 And so SB 100 only applies to the retail sales in

1 state loads. It does not apply to transmission
2 and distribution losses. And so because the
3 accounting is done on an annual basis what that -
4 - what that means is there's actually a fair bit
5 of room for gas generation still to cover those -
6 - that extra load.

7 And then the second thing here, which is
8 actually also a pretty big factor as these green
9 bars on the bottom right, once again here. And
10 is that so clean energy that is exported actually
11 still counts towards SB 100. And the interesting
12 thing is that every megawatt hour of clean energy
13 that is exported, actually makes one more
14 megawatt hour of room for gas generation in the
15 state. And this is actually consistent with RPFs
16 accounting to like exported clean energy still
17 counts. And so the sum of these two things is,
18 is that under the current interpretation of SB
19 100, there's actually still a fair amount of room
20 for gas generation. And that's why the emissions
21 are so high there.

22 Any questions here?

23 VICE CHAIR GUNDA: Yeah. Thank you. I
24 mean, this is super interesting slide here. So I
25 was really aware of the TND losses and the

1 roughly the 93% of the electricity coming from
2 kind of the SB 100 goals are being covered there,
3 93%. So just want to understand this a little
4 bit more on the -- on the export. So are we
5 assuming the imports coming into California
6 broadly not zero-carbon.

7 MR. MANTEGNA: Yes. So most of our
8 inputs are unspecified imports, which are assumed
9 to be mainly gas. And there's also some
10 specified imports too that are mainly north west
11 hydro. But yeah, they're mainly assumed to be
12 not zero-carbon.

13 VICE CHAIR GUNDA: And how are, I mean again,
14 this this is a flag for us to continue thinking
15 about.

16 MR. MANTEGNA: Mm-hmm.

17 VICE CHAIR GUNDA: How are we trying to
18 take the WEC and decarbonization strategies
19 into --

20 MR. MANTEGNA: Yeah.

21 VICE CHAIR GUNDA: -- into our thinking.
22 Right. Like what's, what's the plan there.

23 MR. MANTEGNA: Yeah. So a RESOLVE, which
24 is a WEC wide model is where these numbers are
25 coming from. Right. And so actually that's why

1 we see this behavior here, here in terms of the
2 exports, right. Is what the model actually does
3 is it says, oh look it's cheaper to just produce
4 a bunch of clean energy in California and export
5 it. Right. To meet that SB 100 goal. We do not
6 have any GHG or RPS goals from our neighbors
7 considered in this modeling here. So that would
8 be I think one thing to possibly talk about in
9 the future, right. Because yeah. So this only
10 really happens if you have like just the
11 California goal and no one else does. Yeah,
12 right.

13 VICE CHAIR GUNDA: So it's basically
14 California goal plus kind of status quo of
15 generation concerning the WEC.

16 MR. MANTEGNA: Yeah. Exactly.

17 VICE CHAIR GUNDA: So if we kind of take
18 into account Washington goals or Oregon goals --

19 MR. MANTEGNA: Mm-hmm.

20 VICE CHAIR GUNDA: -- this I mean, this
21 could potentially come down significantly.

22 MR. MANTEGNA: Yeah.

23 VICE CHAIR GUNDA: Right.

24 MR. MANTEGNA: Definitely. Yeah.

25 VICE CHAIR GUNDA: Thank you. Very

1 helpful.

2 COMMISSIONER MONAHAN: Can I ask a
3 question of Vice Chair Gunda, and maybe you Gabe.
4 How does this align with our modeling for SB 100?
5 The amount from TND losses and from the clean
6 energy exports.

7 VICE CHAIR GUNDA: E3 will, I mean Gabe
8 will help because on the -- much of our modeling
9 was done through E3. But for the interpretation
10 part of the TND losses, that's kind of how we did
11 it. So the SB 100 called for only the retail
12 sales. So the joint agency agreement is to
13 roughly kind of account for 93% of the total
14 electricity consumption to come from zero carbon,
15 so the rest was non zero carbon. So in the SB
16 100 analysis we did some scenarios where we
17 looked at even that 96% or 7% decarbonized.

18 The import assumptions were similar. But
19 I think, Gabe, I would like you to kind of
20 comment on this. These assumptions were similar
21 in the -- in the SB 100. But you know, I'm just
22 kind of thinking through of what are the updates
23 done for the Scoping Plan since the SB 100. So
24 that's what I do not know. But this was very
25 consistent.

1 MR. MANTEGNA: Yeah. So this is actually
2 the exactly the same interpretation of everything
3 in terms of the retail sales and the exports as
4 in SB 100 report. And the SB 100 report also had
5 about 24 MMT of gas generation still there and
6 it's only higher here because of the higher loads
7 and yeah. So the only updates that have been
8 made here, I would say, are really resource costs
9 and planned resources and other minor things.
10 But other than that, I would say it's about the
11 same, you know.

12 COMMISSIONER MCALLISTER: I guess so just
13 deepening that a little bit. I mean, so yeah, I
14 mean, this does -- so I followed the explanation
15 so far on this being consistent with the overall
16 SB 100 work in the past. But it sounds like
17 you're arguing that there there's kind of an
18 incentive for active export of clean energy and
19 active import of not, of undefined, that could
20 endanger this pathway or.

21 MR. MANTEGNA: Yeah. And so that's only
22 an incentive that's really seen by the RESOLVE
23 model, right. It's like when it sees that
24 constraint, it just seems that it's cheaper to
25 meet that clean energy constraint by just

1 building a bunch in California and exporting it.
2 Right. So, yes, so there's an incentive because
3 it's a WEC wide model and it sees that.

4 COMMISSIONER MCALLISTER: Okay. Okay.

5 MR. MANTEGNA: Yeah.

6 COMMISSIONER MCALLISTER: Okay. Okay.

7 Got it. All right. Thanks.

8 MR. MANTEGNA: Mm-hmm.

9 VICE CHAIR GUNDA: But Commissioner
10 McAllister, I think to that point, right, like
11 the broader regional kind of coordination, I
12 think to the extent that if we were to reflect
13 the regional clean energy goals, even though that
14 that might exist in the in the market space, the
15 opportunity for that would lessen significantly.

16 COMMISSIONER MCALLISTER: Yeah. Right.

17 MR. MANTEGNA: There would probably still
18 be some.

19 And then also the treatment of imports also would
20 have to be changed I think. Right. Because
21 currently it's mainly unspecified imports. It's
22 like what everything is counted as. Right.
23 Yeah.

24 COMMISSIONER MCALLISTER: As we
25 coordinate more across states, we're going to

1 have less and less unspecified and more
2 contracts --

3 MR. MANTEGNA: Yeah.

4 COMMISSIONER MCALLISTER: -- that we can
5 trace back to the actual electrons. Right.

6 MR. MANTEGNA: Exactly.

7 COMMISSIONER MCALLISTER: So that sort of
8 minimizes the -- it makes the accounting clearer
9 and minimize that definite activity.

10 MR. MANTEGNA: Right?

11 COMMISSIONER MCALLISTER: So yeah, so
12 that seems like that's where we need to go. And
13 as states adopt more stringent goals, even the
14 unspecified --

15 MR. MANTEGNA: Mm-hmm.

16 COMMISSIONER MCALLISTER: -- may actually
17 get better, right?

18 MR. MANTEGNA: Absolutely.

19 COMMISSIONER MCALLISTER: Okay. Yeah.

20 MR. MANTEGNA: So the main thing I think
21 that would change here if you adopted like more
22 of a WEC wide GHG RPS policy is that there would
23 be less of an 00 of an opportunity for that
24 arbitrage. Right. So if you're building a bunch
25 of solar and storage in Arizona and in Washington

1 or whatever as part of their goals, right, then
2 this arbitrage opportunity isn't as big.

3 VICE CHAIR GUNDA: I'm going to stop
4 after this. But just want to one quick thing.
5 This discussion is great. So given that most of
6 our imports happen like late in the evening,
7 right? Like after 7:00, right?

8 MR. MANTEGNA: Mm-hmm.

9 VICE CHAIR GUNDA: Like typically
10 7:00/8:00 is when you ramp up so that
11 decarbonized electricity from the -- from the
12 rest of the WEC would come broadly from hydro and
13 wind.

14 MR. MANTEGNA: Mm hmm.

15 VICE CHAIR GUNDA: Right. So --

16 MR. MANTEGNA: That's right.

17 VICE CHAIR GUNDA: So basically, if we --
18 if we do not have more wind growth in the -- in
19 the broader WEC --

20 MR. MANTEGNA: Mm-hmm.

21 VICE CHAIR GUNDA: -- then that would be
22 a hard thing to come down.

23 MR. MANTEGNA: Yeah.

24 VICE CHAIR GUNDA: Right? So that's --

25 MR. MANTEGNA: Yeah. Because presumably

1 everything, or everyone else isn't just going to
2 have extra like batteries available. Right. And
3 those evening hours because their load is also
4 high. Right. So yeah, I would say it's mainly
5 wind that would help.

6 And I still had a couple more slides if
7 you want to go back to my slides. I'm almost
8 done. Yeah, so next slide, please.

9 Yeah. So I just have a quick note on how the
10 emission factors for fuels are changing over time
11 here. I don't want to spend too much time here,
12 but just proudly what we see here starting in the
13 Reference Scenario on the bottom left is that we
14 see that the emission factors for jet fuel,
15 gasoline, and natural gas are staying about
16 constant over time because the LCFS only applies
17 to transportation. Right. And there's no --

18 (Muted)

19 MR. MANTEGNA: Can you hear me now? If
20 someone in the chat could say if you can hear me
21 now, that would be very helpful.

22 MS. RAITT: Sounds like they can. Go
23 ahead, Gabe. Thanks so much.

24 MR. MANTEGNA: They can. Okay, great.
25 Perfect. Okay. Yeah. So just a bit on the key

1 takeaways here.

2 Once again, the Policy/Compliance
3 Scenario is showing that even with expected new
4 policies, we're still likely to fall short of our
5 2030 GHG goal. And then the Mitigation Scenario
6 then shows the level of effort that would be
7 necessary to meet our 2030 goals.

8 Yeah. So that's all I had and I'll turn
9 it over for questions now. Thank you, everyone.

10 VICE CHAIR GUNDA: Yeah. Gabe, thank
11 you. And I just I just want to make a quick
12 comment on the overarching kind of the content
13 today. You know, just incredibly grateful to the
14 CEC staff for helping pull this together. And
15 Gabe, thanks for your contribution as well. I
16 think this is an extremely important
17 conversation. The energy, like the Demand
18 Scenarios, both from long term electricity
19 planning, the planning on the gas system, but
20 also some important discussions on reliability.
21 So I just wanted to start with just thanking the
22 amount of work that that has taken place behind
23 the scenes to develop a solid framework and
24 develop the collaboration between our analytical
25 products, E3's analytical products, and bringing

1 that all together. So really kudos to the entire
2 team. And I want to call out Mike Jaske for his
3 work and Anitha for your work, both of you, for
4 really driving the framing of this conversation.

5 So my kind of recommendations for the for
6 the staff, for our team is kind of thinking
7 through as we talk about sector by sector that
8 CEC's analytical products are contributing to
9 think about overall sector impacts by fuel type
10 as kind of summary slides. As we go through
11 this, I think it'll be really helpful. Also
12 thinking through as it pertains to reliability
13 and supply, let's kind of have some internal
14 meetings on how best to structure some of those
15 visuals, right. So for example, based on where
16 we are in terms of electricity procurement versus
17 what the growth is and kind of constantly
18 thinking through what analytical products are
19 helping us to have, and just going to put some
20 light on the needs on an ongoing basis and
21 ensuring that we have that. That's one element.

22 We haven't as much talked about the gas
23 side of the scenarios today, at least the summary
24 of the gas. I believe there was some work on
25 that. Right. Anitha, could you confirm.

1 MS. REDNAM: When you say gas,
2 Commissioner, do you mean the natural gas?

3 VICE CHAIR GUNDA: Yeah.

4 MS. REDNAM: So we do have natural gas in
5 Gabe's appendix slides. The slide that you asked
6 is actually there. We have biofuels by sector.

7 VICE CHAIR GUNDA: Okay.

8 MS. REDNAM: So all the fuels are listed
9 that we, through a combination of both CEC work
10 and PATHWAYS model.

11 VICE CHAIR GUNDA: Great. You said
12 that's in the appendix.

13 MS. REDNAM: Yep, Vice Chair. Yeah. We
14 added them in the appendix.

15 VICE CHAIR GUNDA: Right. I think it
16 would be good for the broader public to know
17 that, so that'll be helpful for their comments.
18 A lot of parties would be interested in that.

19 And just kind of thinking through, I
20 think, the interactive effects between the
21 hydrogen production versus, and then the overall
22 demand. How do we capture those? And one of the
23 things that Commissioner McAlister mentioned, at
24 least the way I understood, is the market
25 transformation that could happen in terms of

1 these large investments we are getting. So
2 overall, you know, great work and I would just
3 like to think about additional visual products to
4 make this more accessible as we move forward. So
5 I don't have any questions but you know, just
6 thanks.

7 MS. REDNAM: I just wanted to add,
8 Commissioner, that the hydrogen is produced
9 through off grid electrolysis. I remember you
10 asked us in our last discussion on this, so I
11 have an answer for you on that. So the load from
12 this is not included in the consumption. The
13 electric load numbers, it's not included as of
14 now.

15 VICE CHAIR GUNDA: So it's like broadly
16 off grid is what the thinking is right now.

17 MS. REDNAM: Yeah.

18 COMMISSIONER MONAHAN: It would be really
19 helpful to have a slide at the end with all the
20 energy from -- that is being used. Like how much
21 is hydrogen? How much is whatever is sort of
22 left in the fossil world? I think it would just
23 be helpful to kind of for a framework for all of
24 us.

25 MS. REDNAM: Right.

1 COMMISSIONER MONAHAN: Something I heard
2 recently from a stakeholder is this idea that
3 actually we always thought hydrogen investments
4 would be driven by transportation and that it
5 would, you know, be basically the price of oil is
6 so high that allows you to have more expensive
7 fuels in the mix. But now that grid storage is
8 such a valuable resource, actually, you're
9 competing against grid storage on the -- on the
10 electricity side. So it could be that hydrogen
11 investments are actually driven more by the power
12 sector need for reliability than the
13 transportation need in the near term. And
14 transportation could actually benefit from the
15 investments that the power sector will make
16 because as we're seeing with LADWP, there's just
17 more, you know, there's an incentive for hydrogen
18 to be a grid storage device. So I'm curious if
19 Gabe or anybody has a reaction to that.

20 MR. MANTEGNA: Yeah, absolutely. So in
21 our Mitigation Scenario, we do show a pretty big
22 role for hydrogen in industry, too, although the
23 difficult thing with that is that there's not as
24 much of a near-term policy pathway for that.
25 Right. Like it's the sectors are under cap and

1 trade, right. So that it would have to -- the
2 prices would have to get pretty high before that
3 would be actually incentivized.

4 As far as Electric Generation goes, the
5 main investments that I'm aware of that are being
6 made are by LA, right, because they have their
7 100% by 2030 target. I'm not aware of hydrogen
8 being picked as a -- as a resource in the UCP IRP
9 yet. So I'm not sure if there is that big of a
10 role in terms of like a state wide perspective.
11 But I do think LA is definitely a pretty
12 interesting first mover there. Yeah.

13 So but as far as market size goes, yeah,
14 I think there's definitely some potential from LA
15 and then some from a transportation too, but the
16 relative size I'm not sure, but yeah. Thank you.

17 COMMISSIONER MCALLISTER: I mean, it's
18 interesting to think about whether price is
19 actually going to be the forming, you know, in SB
20 100 and RESOLVE, you know it's sort of price is,
21 you know, pretty much controls what resource gets
22 picked. Right. But we may. That may not, you
23 know, be where things end up in that last 10%.
24 Right. I mean, we might have to be much more
25 proactive than just having price. And some of

1 the analyses that I've seen show that price at
2 that last little bit, the actual price of that
3 clean, firm power actually may not matter all
4 that much. I mean, obviously, you don't want it
5 to be stratospheric, but it may not actually
6 influence the sort of, you know, the price the
7 consumer sees --

8 MR. MANTEGNA: Yeah.

9 COMMISSIONER MCALLISTER: -- as much as
10 we kind of maybe assume. And I guess I'd like to
11 get your you know, sounds like Quentin's thought
12 about this as well. But, you know, what's your
13 kind of view on that?

14 MR. MANTEGNA: Absolutely. So once you
15 get to a pretty deep electric sector, a GHG or
16 RPS constraint, right, then I think that you
17 definitely see some clean, firm stuff getting
18 picked. Right. And that's kind of that last
19 like 5 to 10%. Right. So could be hydrogen or
20 CCS or SMRs, right. I think we generally see
21 hydrogen as the cheapest of those options. So
22 yeah, I think that could definitely get picked
23 and it probably wouldn't have a huge impact on
24 overall costs. The marginal like dollars per ton
25 GHG cost is probably pretty high, right. But the

1 impact to ratepayers I don't think would be huge.
2 But this is definitely an area that I think would
3 require future study by the CPUC, right. As far
4 as like what could a zero carbon grid look like?
5 Like what would be the rate payer impacts? Like
6 does it make more sense to do that or other
7 things? Right. So yeah, it's an important area
8 for sure.

9 COMMISSIONER MCALLISTER: Yeah. So I
10 don't really have any additional questions, but I
11 just wanted to just amplify what Vice Chair Gunda
12 said in terms of just really excited to have this
13 kicked off. And it's a super creative time, I
14 mean, in this realm of, you know, trying to
15 figure out what's going to happen and what should
16 happen and you know, where things are going, it's
17 just a really heady time to be to be having these
18 conversations. And, you know, there's a lot of
19 urgency to figure this out. So I'm really glad
20 we've got this, the team that we have on this and
21 including leadership you know, from Vice Chair
22 Gunda, and I think, you know, all of us in our
23 sectors are very interested in this.

24 And also just wanted to point out, I
25 think this is happening, but just point out that

1 how important it is to share resources across
2 agencies. You know, the CARB is I mean, in a way
3 you're, you know, E3 is the connective tissue on
4 some of this stuff, but it's nice to be in and
5 continually kind of be getting more or less on
6 the same page. I mean we're not always going to
7 have the same perspectives on these things, but
8 as agencies, you know, I think it's our
9 obligation to compare notes and really see where
10 if we're getting different answers, when we're
11 getting different answers, why? And kind of
12 that's going to reflect back on the policy
13 choices that we're making in really substantive
14 ways. And so I think that's super important to
15 share resources and intel and, you know, on the
16 on the building side and on the power sector
17 side, I mean, where the market's going, you know,
18 we all need to kind of compare market awareness
19 and, you know, understand market developments
20 like that, power sector role of hydrogen. I
21 mean, I think that's a huge question. You know,
22 it sort of highlights, you know, the sort of
23 intersectoral nature of this.

24 And one of the things that I think is new
25 and different today versus any kind of

1 forecasting in the past is -- are these bridges
2 across different energy carriers. You know, like
3 we're increasingly not talking about energy
4 sources as much as we are energy carriers. And
5 so, you know, they're increasingly fungible and
6 that creates complexity, but also a lot of
7 solutions. So anyway, that's super interesting
8 and, you know, really excited to, you know, take
9 part in this discussion going forward.
10 [indiscernible] interesting.

11 MR. JASKE: This is Mike Jaske here. Let
12 me just respond to that point that you made,
13 Commissioner McAllister. And that is, as I tried
14 to say early on in my sort of framing of what
15 this was all about this afternoon, our project
16 is, in some respects, picked out the easy parts
17 of all of this analysis to start with. And you
18 know we had tools that could roughly address some
19 of the traditional issues. You know, energy
20 efficiency programs and even fuel substitution
21 programs on the end user side. There are all of
22 these ramifications for different supply side
23 industries. Some regulated, not regulated -- and
24 some not regulated that you know are -- have huge
25 ramifications in some cases at the scale, but

1 also huge from the perspective of individual
2 industries, you know. Just a little sleeper one
3 is, you know there's a fair amount of LPG being
4 used in rural parts of the state.

5 You know, as we eventually try to deal
6 with LPG, what are we going to do with, you know,
7 the hundreds or thousand LPG distributors that
8 exist out there in the world? You know, there's
9 no -- there's no rate making process that's going
10 to protect them, you know, and sort of make their
11 investment whole. You know, so are they all
12 going to disappear in some, you know,
13 inappropriately mass fashion because of some
14 unforeseen aspect of some regulation or
15 requirement, leaving a bunch of customers kind of
16 stranded? Many, you know if not primary, at
17 least secondary reliability kinds of things to
18 think about as niche fuels and special
19 applications kind of go away. So.

20 VICE CHAIR GUNDA: Yeah. Thanks, Mike.
21 So one thing I just wanted to take from what
22 Commissioner Monahan suggested; it would be
23 really -- I mean even though I don't completely
24 enjoy skanky diagrams, but it might be something
25 we want to have as one of the summaries. Just

1 kind of a I really like this notion from
2 Commissioner McAllister too. I think the more
3 and more we're not really talking about sources
4 and it's more the carriers, I think being able to
5 stitch that entirety into a slide on what's
6 happening and how it's all changing would be
7 really helpful. Thank you.

8 Onto Heidi now, right?

9 MS. JAVANBAKHT: All right. So we're now
10 moving into the Q&A for the Demand Scenarios
11 portion of the workshop. We've got a few
12 questions that were asked online. So I'm going
13 to start with there's one similar question asked
14 by two different people. Joanna and Yen both
15 asked about Slide 8 in Quentin's presentation.
16 There's a difference between the reference case
17 and the Policy/Compliance Scenario, where the
18 Policy/Compliance Scenario is lower than the
19 reference case between present and 2025.
20 Quentin, can you speak to why that occurs?

21 MR. GEE: Yeah. yeah. If we could move
22 to Slide 8, I can actually discuss that a little
23 bit. But yeah, basically the Policy/Compliance
24 case is a sort of a at least especially in the
25 case of the light-duty zero-emission vehicles,

1 but this would also theoretically happen in the
2 case of MDHD as well. But the Policy/Compliance
3 case simply says, you know what if we meet what
4 the regulations in place say at least up to 2035.
5 And the regulations in place currently are the
6 regulation in place on light-duty ZEVS that is
7 impactful here is Advanced Clean Cars I, which
8 has lower ZEV requirements than what the market
9 currently is, you know, has or what the stock is
10 out there based on the current market conditions
11 out there.

12 So as of today, what is required under
13 ACC I is in fact lower than what is on the road
14 as we speak. So basically, we do have this sort
15 of undercutting of the Reference, or excuse me,
16 the ACC I goes under what the Reference Scenario
17 is because that regulation, I think in the early
18 years when it came out, you know, wasn't
19 expecting the kinds of rapid declines that we
20 have seen in vehicle prices and market
21 penetration of ZEV companies. So yeah, the
22 regulation just isn't as strong there, but we
23 just sort of put in the regulation in place. So
24 it actually does go lower than the Reference.

25 At around 2027 you can see, however,

1 that, and that's when Advance Clean Cars II
2 begins to kick in. At that point in time, we do
3 see that that the regulation is going to go above
4 what our Reference case says for the market as
5 well. And, you know, there's a bit of an
6 interplay, obviously, between the market and the
7 regulations. So it's hard to, you know, evaluate
8 the forecast or that Reference case too much.
9 But, yeah, the current -- those first few years
10 are just kind of just the result of lower
11 regulations than the market could bear.

12 MS. JAVANBAKHT: Thanks, Quentin. The
13 next two questions are also for you.

14 MR. GEE: Okay.

15 MS. JAVANBAKHT: Can we look at the slide
16 after that one, Raquel? With the MDHD
17 population. So this question comes from Janet,
18 who asks why does the total population for MDHD
19 appear to be smaller under the Policy/Compliance
20 and Mitigation Scenarios?

21 MR. GEE : Great. Excellent question.
22 Good eye also. These three charts, hard to fit
23 them all on the one slide, but we did it and you,
24 good attention there.

25 So this is a peculiar, I wouldn't call it

1 a peculiarity, this is a feature of the model,
2 the medium- and heavy-duty model. Basically, the
3 vehicles that are adopted are based on the
4 shipping, the amount of freight that needs to
5 occur, at least for the for the freight vehicles
6 here. And basically what happens is newer
7 vehicles are actually able to ship or, you know,
8 they're not being repaired as much. They're not
9 you know, you know, if you've got ten trucks in
10 your fleet and it's kind of like, oh, we got to
11 make a last minute delivery, you're not going to
12 send out the one that could break down. You're
13 going to send out the newer one. So basically
14 the newer vehicles actually ship more. So if
15 there's more new vehicles that say as a result of
16 a increase of ZEV penetration then or excuse me,
17 as a result of say, say the retirements and other
18 things like that, you actually don't have as much
19 of a dramatic need for as many trucks to do that.
20 That's why the truck stock, while it's a
21 meaningful indicator, it does have some
22 limitations there. And the energy metric might
23 be more useful on that. But yeah, because the
24 trucks are newer or you have these retirements,
25 you don't need as many trucks to ship around the

1 same amount of goods because the amount of goods
2 on each of these scenarios are the exact same.

3 MS. JAVANBAKHT: And Quentin, there's a
4 second part to that question about BEVs perhaps
5 not being a 1 to 1 replacement for diesel trucks.

6 MR. GEE: What's the question say?

7 MS. JAVANBAKHT: Oh. I lost it. Hang on
8 a second.

9 MR. GEE: Oh.

10 MS. JAVANBAKHT: Most believe that the
11 transition to ZEVs for heavy-duty vehicles will
12 require a more than 1-to-1 replacement,
13 suggesting that the total truck population will
14 increase as more ZEVs are mandated.

15 MR. GEE: Yeah, that's certain, that's
16 something that I don't think the model captures.
17 That's to some extent arguably a good point. In
18 some ways you might say, you know, you can't do
19 you know, you can't drive necessarily a class 8,
20 you know, long haul as many miles with
21 diesel -- with battery electric than you could
22 with diesel. But the model does have increased
23 penetration from class 8 fuel cell electric
24 vehicles, which do have similar range potential
25 to diesel. But yeah, that's a reasonable point

1 in some ways. At the same time, you know, the
2 uptime for the battery electric vehicles is
3 expected to be higher in some cases. So they
4 might actually be more reliable, or more likely
5 to take on some of that freight need. So it's a
6 little tricky and challenging there.

7 But that's a good point and something
8 that I think we, you know, would like to hear
9 from any stakeholders that have some information
10 on that front. And it's something we could
11 consider employing or considering in the model.

12 MS. JAVANBAKHT: Thanks, Quentin. Okay.
13 One last question on transportation.

14 Do these numbers include tourism. For
15 example, rental car electrification and visitors
16 driving their vehicles into the state and
17 charging on the grid?

18 MR. GEE: Okay. Yeah, that might be the
19 slide 11, maybe Raquel. Maybe that could be
20 useful. So here we are looking at the energy
21 demand. We do, so in our model we do include
22 four different major types of vehicle choices
23 that are made. We have personal vehicles,
24 commercial vehicles, government vehicles and
25 rental vehicles. So we do include, say, the

1 rental market there. We also do cross validate
2 energy consumption, particularly as, at least as
3 of now, the big metric is gasoline consumption,
4 but the gasoline consumption, we make sure that
5 that matches as well with the -- so we check like
6 how much gasoline was purchased in the state and
7 we make sure that aligns with our model. So
8 that's part of the validation of the model. So
9 any potential, let's say like a bunch of people
10 from Arizona drive over and are fueling up that
11 would be roughly captured there as well. Yeah.

12 It's hard it's hard to get any more
13 clarity beyond that. Like who -- how many
14 Washington license plates are fueling up in our
15 state. It's hard to know that. But we do cross
16 validate and we make sure that the model aligns
17 with the total vehicle, total gasoline and other
18 liquid fuels that are sold in the state.

19 MS. JAVANBAKHT: That's it for the
20 questions online.

21 MS. RAITT: Thank you, Heidi. And thank
22 you, Quentin. Oh, we had just one more come up.

23 MS. JAVANBAKHT: Oh did you? I'm sorry.
24 Okay. Okay. So one last question. Was electric
25 consumption for hydrogen, electrolysis for

1 transportation included in this modeling?

2 MR. GEE: Unfortunately, no. So that is
3 a limitation. Yeah, we don't. So when we look
4 at the electricity demand, we're looking at
5 electricity, you know, on the grid flowing into a
6 vehicle. For electrolysis, that is something
7 that we could look at exploring, but we currently
8 don't do that.

9 MS. JAVANBAKHT: Okay. No other
10 questions.

11 MS. RAITT: Great. Thank you, Heidi.
12 Thank you, Quentin. And thank you to all the
13 presenters. I know there's a lot of late nights
14 and long days to get here.

15 So Commissioners, if you - it sounds like
16 we're able to take a ten minute break. And we'll
17 be back at 3:40. How about it will be a 12
18 minute break, just to be rounding.

19 VICE CHAIR GUNDA: All right. We'll come
20 back at 3:40 you said?

21 MS. RAITT: 3:40, yeah. We'll put a
22 slide up with the time.

23 VICE CHAIR GUNDA: Okay. Thank you.

24 MS. RAITT: Thanks.

25 (Off the record at 3:28 p.m.)

1 (On the record at 3:47 p.m.)

2 MS. RAITT: Welcome back. We have our
3 final presenter, Mike Jaske, again. Talk about
4 the inter-agency effort. So go ahead, Mike.
5 Thanks for being -- hanging in here.

6 MR. JASKE: First slide. Good afternoon.
7 For the record, I'm Mike Jaske with the Energy
8 Assessments Division of the CEC staff. Today,
9 I'm speaking as a representative of an
10 interagency project. In this presentation, I'll
11 talk really about, well, about a separate demand
12 scenario project from that presented earlier.
13 The two are related analytically but have
14 different emphases and purposes. This
15 presentation really has four broad elements: the
16 purpose of the project and interagency
17 coordination; the phases of the demand analysis;
18 a high-level overview of annual electric energy,
19 summer and winter peak load, and some hourly load
20 pattern insights; and then the timeline of the
21 remaining steps of this project. Slide 2.

22 So both the PUC and the ISO have referred
23 to this project in formal decisions or study plan
24 documents; the PUC in the February IRP Decision,
25 and the ISO in the Final Study Plan for the

1 current 2022-23 TPP process. Up to this point,
2 this high electrification project hasn't been
3 presented in an IEPR proceeding. So as I very
4 briefly alluded to in my opening presentation
5 this afternoon, the -- there was considerable
6 discussion about a High Electrification Scenario;
7 what that might be, what it would be used for,
8 when it could be done, beginning in last summer
9 and continuing into the fall.

10 Eventually, the lead staff of the energy
11 agencies agreed to develop an assessment of the
12 transmission system impacts of a scenario with
13 higher electrification than was included in what
14 was then expected to be the outcome of the 2021
15 IEPR Adopted Demand Forecast. And the three
16 agencies, the CPUC and ISO each had, of course,
17 particular roles to play in this overall project.
18 The Energy Commission to develop demand
19 projections. The PUC to analyze those demand
20 projections in their resource planning process
21 and consider it in their distribution
22 infrastructure assessment process and the ISO to
23 take the Demand Scenario projections and the PUC
24 results as inputs into a sensitivity study of
25 transmission impacts. So this study would inform

1 sort of an initial view of higher electrification
2 and the generation consequences in the sort of
3 conventional transmission system planning time
4 horizon.

5 So just for clarification purposes, let
6 me reemphasize the first bullet. We're -- in
7 this project, we're developing an assessment of a
8 demand scenario that has higher levels of
9 electrification than in the adopted 2021 IEPR
10 Demand Forecast. So relative to that forecast,
11 this scenario has High Electrification. And both
12 the PUC and the ISO in these decisions and study
13 plans have referred to it in that context when
14 they normally would use the IEPR Adopted Forecast
15 for their analyses. So that's why it's called
16 High Electrification. Next slide.

17 I think I pretty much summarized the last
18 three bullets here on the previous slide but let
19 me spend a minute talking about an Inter-Agency
20 Working Group. So we devised, or we decided
21 there was a need to have, a working group that
22 would oversee, you know, the development of this
23 demand scenario and presumably its use in the PUC
24 and ISO follow-on efforts. And that is sort of
25 the new element here that hadn't existed

1 heretofore. Next slide.

2 So we formed that group in November of
3 last year, had technical leads of all three
4 agencies. It met multiple times beginning in
5 December of last year and January through current
6 days this year. To clarify the nature of the
7 project, discuss, you know, which agency was
8 going to carry out what tasks, and to design a
9 consensus scenario specification. And that
10 working group presented its proposed design to
11 the broader joint agency group for approval back
12 in mid- to late-February. CARB had some
13 clarifying questions, which took a couple of
14 weeks to resolve, and we settled on the overall
15 design in late February. Next slide.

16 So this is the same format that you saw
17 previously for the Energy Commission's own Demand
18 Scenarios project. We're using it to convey,
19 again, the assumptions for this particular
20 scenario. And this laid out in virtually the
21 same manner a baseline forecast, namely the Mid-
22 Mid Residential Commercial Forecast. Some AAEE
23 adjustments to that. In this case, Mid-High
24 Scenario 4 and Mid-Mid Scenario 3 for gas. That
25 programmatic part of fuel substitution is Mid-Mid

1 Plus Scenario 4. And then the -- what we have
2 written as speculative but maybe uncertain is a
3 better word, the incorporation of elements of
4 CARB's 2022 SIP Plan. And then in
5 transportation, again, a baseline forecast, the
6 Mid-Mid Adopted Transportation Forecast modified
7 by the elements included in the state's SIP,
8 namely Clean Cars II and Advanced Clean Fleets.

9 What is different. So far, these look a
10 lot like the Policy/Compliance case, which is a
11 correct observation. It's in the last row but
12 there are some differences, and that's in the
13 industrial oil and gas, AG, petroleum, refining,
14 TCU, all of those sectors that in the other
15 scenario project were done with an adjusted
16 version of PATHWAYS. They have different
17 assumptions which are essentially one ratchet
18 tighter in terms of AAEE and AAFS than the Mid-
19 Mid Adopted Demand Forecast. Next slide.

20 So our ability to do this scenario
21 obviously benefited from design and to a
22 considerable extent the quantification of the
23 Internal Energy Commission project. If we hadn't
24 been that far along in our analytic efforts, I
25 don't know that we would have been able to

1 accomplish this Inter-Agency project on the
2 timeline that we have.

3 Because we are only going out, well, so
4 there are several reasons why we are using Energy
5 Commission demand forecasting models and load
6 modifier assessment tools rather than
7 Adjusted-PATHWAYS. So first is the time horizon
8 of interest was only out to 2035. And I'm not
9 myself right at this moment, completely clear
10 which of those years out to 2035 the PUC and ISO
11 are going to examine. But they have a product
12 that goes out as far as 2035 and that was within
13 the scope of the Energy Commission's forecasting
14 models. We didn't need the capabilities of
15 Adjusted-PATHWAYS to cover all of the myriad of
16 alternative fuels, many of which are unique to
17 transportation or industry. And we didn't need
18 GHG consequences, so there wasn't a need to stick
19 with Adjusted-PATHWAYS.

20 And we also wanted and needed greater
21 electricity demand detail than can be developed
22 using Adjusted-PATHWAYS. For example, creating
23 hourly electric generation load or computing
24 results at the level of major utilities attack
25 areas. That wasn't feasible with PATHWAYS. So

1 the platform for some of the minor sectors was
2 shifted from Adjusted-PATHWAYS to demand
3 forecasting models. Next slide.

4 So the point of this slide is to indicate
5 that we broke this project down into three
6 phases, mainly to facilitate development of
7 interagency consensus. So we, through the
8 working group process, first developed a proposed
9 specification of a High Electrification Scenario.
10 Once that was agreed to, Energy Commission staff
11 used its forecasting models and load modifier
12 tools to project annual energy out to 2035. We
13 provided the result of that analysis to the
14 working group and actually we talked about
15 preliminary versions of it as part of the
16 finalization of the scenario specification.

17 Once that was deemed acceptable or
18 complete, we moved on to a review and
19 consideration of alternative load profiles that
20 are used to take that annual electric energy and
21 convert it into hourly 8760 projections for the
22 three IOU TAC areas.

23 And we -- and then the last of the phases
24 is just about to start, which is to take this
25 peak hour annual impacts for each of the TAC

1 areas and allocate these loads to load buses.
2 And we do that using information comparable to
3 what we have traditionally done in this load bus
4 allocation step for energy efficiency, but in the
5 21 IEPR expanded it to programmatic AAFS and
6 we'll now expand it one more ratchet to deal with
7 the sort of SIP level building electrification
8 consequences and to the increment of
9 transportation. And that work will be undertaken
10 over the course of the next five or six weeks and
11 would be reviewed again at the Working Group
12 level. Next slide.

13 So here's the first of the results that
14 I'll show for a number of slides now. This is
15 looking at the incremental effects of the load
16 modifiers that were changed between the 2021 Mid-
17 Mid Adopted Forecast and this High
18 Electrification Scenario. So as you can see from
19 the legend down below, these are the differences
20 between the load modifier annual the electric
21 energy of the High Electrification Working Group
22 Scenario, less the corresponding IEPR Mid-Mid
23 case.

24 So the darker blue line up near the top
25 is the delta for light-duty EVs. The red line

1 down near the horizontal axis is the delta for
2 medium-duty and heavy-duty EVs. The green line
3 is the delta for energy efficiency in the working
4 group assumption versus the IEPR Mid-Mid, and
5 that's the one case in which the values are
6 negative because as the framework slide showed,
7 we're assuming AAEE 4, which has more savings
8 than a AAEE Scenario 3 in the Mid-Mid Adopted
9 IEPR.

10 The purple line is the delta for High
11 Electrification AAFS, and what was in the IEPR,
12 and it's practically near the, or on top of the
13 horizontal axis, so there's hardly any difference
14 there. And then finally, the brighter blue line
15 is the delta of the High Electrification; more
16 modeling of the SIP measures in the building
17 sector, less the corresponding IEPR assumption.
18 And since the IEPR assumption was zero, that is
19 the actual total magnitude of those impacts. And
20 then the dashed black line is the summation of
21 all of those together, both positive in most
22 cases and negative in the case of energy
23 efficiency.

24 So as has been shown in some other
25 depictions of the policy case of the Internal

1 Energy Commission project, the composite of these
2 effects is actually a little bit of a load
3 reduction out through about 2029 and then it
4 matches up. Where it crosses the horizontal axis
5 and then grows steadily thereafter. Next slide.

6 So this slide tries to put those
7 incremental impacts in context. So the dashed
8 black line is exactly the same numbers, but the
9 scale is different than the previous slide. The
10 dark blue line is the adopted forecast,
11 practically a straight line, and the red line is
12 the black dashed line added to the blue line. So
13 it shows that in this scale they're practically
14 on top of each other again until about 29, in
15 which there's a departure and the high
16 electrification case grows steadily thereafter.
17 And that's about by eyeball, around a 15%
18 increase relative to the Adopted Forecast in
19 2035. Next slide.

20 So what do we do with this annual
21 electric energy? As I said, we conducted a load
22 profile review process before we actually
23 converted that annual electric energy into hourly
24 loads. We first contracted with E3 to review our
25 load profiles and compare it to what they have

1 used in various of their own studies. And
2 we -- and concluded that there were no
3 substantive issues that they could identify that
4 you know, caused us to make a change.

5 We took another run at asking that
6 question in the more narrow context of
7 transportation load profiles by talking with each
8 of the IOUs. And we were particularly concerned
9 about how TOU rates might influence EV
10 recharging. And there is an impact of a
11 particular TOU rate assumption on EV recharging
12 in the Energy Commission's Final Load profiles
13 that are used to generate the system consequences
14 of EV recharging. But a perceived weakness that
15 we assume those TOU rates are unchanged out
16 through time. And that seems like a not very
17 logical assumption, but we didn't have a better
18 one in the time horizon of the forecast
19 development. Unfortunately, none of the IOUs
20 seem to have any feel for that issue out beyond
21 about 26 or 27. And so we ended up not making
22 any changes, even though we think this is a
23 clearly an important issue going forward.

24 We also talked about some other issues
25 about EV forecasting in general with the IOUs and

1 identified, you know, various items that we can
2 work on in future iterations of this kind of
3 effort. Next slide. Slide 11, please.

4 So as everyone will realize if you think
5 about it for a lot of induces residential sector
6 appliances we already have broad penetration of
7 the electric version compared to the gas version
8 in the appliance stock out there. So we've had
9 to know and use load profiles for ranges, and
10 clothes dryers, and dishwashers, and water
11 heaters, and all kinds of components. And so
12 really in those instances, what we're doing is
13 essentially scaling up with more annual energy, a
14 known load profile.

15 But in the case of residential space
16 heating with heat pumps, not nearly as well
17 understood, and particularly the consequences of
18 placing a lot of electric energy in two or three
19 winter months, you know, is clearly going to
20 affect winter electricity load patterns. But to
21 what extent is really the question? In the AB
22 3232 process that was conducted over years 2020
23 and 2021 and documented in the report to the
24 Legislature, in the high penetration scenarios,
25 we found that winter loads in Northern

1 California, you know, could actually approach
2 that of summer peak loads. That wasn't the case
3 in Southern California since space heating
4 requirements are simply much less lower in
5 Southern California. But there's -- that was
6 sort of a backdrop for concern about this whole
7 winter space heating load issue.

8 And so our 8760 assessment for the three
9 IOU TAC areas and therefore coverage of all of
10 the ISOs is designed to further understand both
11 summer peak and winter load assessments.

12 Just a point of context, perhaps, except
13 for a few localized areas. California has been
14 summer peaking for decades. In part, this is
15 driven by our climate, by the advent of cheap
16 central air conditioning starting in the 60s and
17 70s, and its progressive increase in saturation
18 through time. But it also results from Energy
19 Commission building standards that promoted the
20 use of natural gas for space and water heating as
21 a more energy efficient way of providing these
22 services.

23 So we have an end use, fuel share mix at
24 the present that's heavily skewed toward natural
25 gas appliances compared to most areas of the

1 country. And we have a lot to learn, therefore,
2 about winter load issues associated with
3 electricity supply in what are presently gas
4 space heating and water heating. So this
5 assessment hopefully is going to lead to some
6 further understanding above and beyond what we
7 learned in AB 3232. Next slide.

8 So here are the seasonal peak load
9 results at the ISO level. The top two lines are
10 the summer peak. The blue line being the Adopted
11 IEPR and the red line being the High
12 Electrification case. And the very same pattern
13 has showed up for annual electricity. It repeats
14 itself here a little bit lower in the High
15 Electrification case through about 2028, and then
16 crosses over and then rises above steadily larger
17 amounts through time.

18 The bottom two lines are the winter peak,
19 which we hardly ever talk about a winter peak,
20 but given what I was saying earlier, it seemed
21 like an important thing to look for in the
22 results and to show you what we have found. So
23 the green line is the maximum over the months of
24 December and January that is in the Adopted
25 Demand Forecasts using the hourly output files.

1 The purple line is the same source of data, but
2 for the High Electrification Scenario and here
3 you can see there's less extent to which the High
4 Electrification case is lower than the Adopted
5 Forecast, crosses over maybe one or two years
6 earlier and then grows well above the Adopted
7 IEPR by time you get out to 2035. And the gap
8 between winter and summer peak is narrowing in
9 the High Electrification Scenario, whereas it's
10 relatively constant in the Adopted Forecast.

11 So we are clearly seeing some seasonal
12 shifts in patterns of load. I have looked at a
13 more disaggregated level of reporting. And this
14 is almost entirely coming from the residential
15 sector, as you might guess, because in the fuel
16 substitution part of buildings, residential
17 sector is about four times bigger than the
18 commercial sector. And so what happens with
19 residential space and water heating really drives
20 overall gas fuel substitution results as they
21 convert into hourly loads. Next slide, please.

22 So this was an interesting result. And
23 it will be something that I think the CPUC in IRP
24 assessment using these results is going to need
25 to address. So these two boxes depict pieces and

1 the total of the hourly load on the winter season
2 peak day for the High Electrification Scenario.
3 We're not comparing between High Electrification
4 and Adopted 2021 IEPR Forecast in this case.
5 It's just two different years within the High
6 Electrification Scenario results. On the left is
7 2033 and on the right is 2035. So two years
8 difference.

9 The peak hour on this winter peak day is
10 at hour 22. That's later in the evening/night
11 than in the Adopted Forecast, which is about hour
12 19, I believe. There's a secondary peak in the
13 morning, but it's several thousand megawatts
14 lower than the peak hour of hour 22. And that
15 secondary peak is composed in 2023 heavily by
16 kind of natural factors, but also that the red
17 line, which is the electric vehicle across all
18 classes, light-duty, and heavy-duty, and medium
19 ramping up, presumably because vehicles are moved
20 from overnight storage or use patterns to a
21 morning use pattern and there's considerable
22 ramping up in the morning hours.

23 And the green line is the composite of
24 all of the influences on the residential
25 commercial building sectors, both negative from

1 energy efficiency and positive from fuel
2 substitution. And there's a modest increase
3 moving from hours 4, 5, 6, toward hour 8.
4 However, when you get to 2035, if you look at the
5 blue line at the top for the moment, the peak has
6 now shifted. It's shifted in day -- in month to
7 January. It shifted in hour to the morning to 8
8 a.m. or 7 a.m.. The absolute magnitude in the
9 nighttime hours doesn't seem to have changed very
10 much. It's the very same pattern but it's that
11 morning peak that has become accentuated. And
12 why does that happen?

13 The red line being all of the EV
14 recharging is the same shape just scaled up for
15 the increase in annual electric energy. But the
16 green line has a different shape. Clearly, the
17 morning elements are higher than the change in
18 the nighttime elements or the daytime elements.
19 And this reflects residential space and water
20 heating that is most focused in those early
21 morning hours, as millions of people in our state
22 get up, start turning on the lights, using
23 appliances. And when those appliances are fueled
24 by electricity, we have increased load in
25 preferentially in those hours.

1 So interesting tidbits that come out of
2 our hourly analysis that has now been handed off
3 to the PUC and in their hands for analysis. Next
4 slide.

5 So I'm going to speak just a little bit
6 about the last phase of this whole effort and
7 which is the allocation of load to transmission
8 load buses. And for those who aren't familiar
9 with that aspect of electricity planning, just
10 let me give you a little overview of how this
11 works.

12 The transmission system has evolved over
13 time and there are areas where the transmission
14 system is constrained in how much power it can
15 provide to the load inside sort of a boundary of
16 a composite of transmission elements. This is
17 the genesis of the local resource adequacy
18 requirements that utilities in all the other load
19 serving entities have to address on an annual
20 basis as part of the resource adequacy process.

21 The ISO and the utility study these local
22 capacity areas using very complex engineering
23 models that actually predict the flow of power on
24 the grid from generating sources to loads, to
25 demands. Hence they're called power flow models.

1 In every IEPR cycle, the Energy Commission, well
2 since about 2013 or so anyway, the Energy
3 Commission staff allocates the Adopted Demand
4 Forecast to a set of load buses that are used in
5 these power flow studies. And in this project,
6 we're going to be adapting the existing tools
7 that we have used to address the location of
8 these incremental electric loads from this High
9 Electrification Scenario.

10 We will be giving that to the ISO for its
11 use in this part -- it's part of this overall
12 infrastructure assessment effort, and we're going
13 to get this underway, you know, starting next
14 week now that we have this workshop over and
15 deliver it by June 1st. Next slide.

16 So I mean, winding up here with just a
17 little bit of a project timeline. Everything up
18 through March of 22 is now history. So we began
19 our discussions last summer. We agreed to
20 conduct this effort. We formed the Working Group
21 to figure out what the effort really was and
22 bring clarity to who is going to do what by when.
23 Developed the scenario, analyzed the results,
24 converted into 8760 hourly impacts, and delivered
25 that to the PUC last week.

1 So what is to be -- what is to come is
2 for the PUC to assess this higher level of
3 electric loads using some sort of light version
4 of an IRP analysis, deliver a resource portfolio,
5 tagging the incremental generating resources
6 required to serve load reliably to the ISO by
7 June 1st. And in parallel, as I said a moment
8 ago, the Energy Commission staff will develop the
9 load bus allocation to the ISO and ISO will take
10 all of that as input into a Transmission Impact
11 Sensitivity Study. And I've confirmed this last
12 date with the ISO staff and they anticipate
13 releasing the results of this in January of next
14 year.

15 And with that I am finished and I'm ready
16 for any questions.

17 VICE CHAIR GUNDA: And Heather and Tim, I
18 just want to note that I have to jump off and
19 Commissioner McAllister will help kind of close
20 the discussion here.

21 Just, Mike, just thank you for all the
22 work on this. I -- you've been kept -- you kept
23 me briefed up on this a lot, so I don't have any
24 other questions. But just for the public who are
25 attending the workshop, but also fellow

1 Commissioners on just the impact of winter
2 electrification. I think it's something that I
3 just kind of caught my attention as we think
4 through not just the winter peak load, but also
5 the early hour peak as well as movement of the
6 net peak time potentially to a later time.

7 All of them are system reliability issues and
8 thanks for flagging them and hopefully we can
9 bring them up in a future reliability proceeding
10 and think through the implications and how to
11 best plan for it.

12 But thanks again to the entire team for
13 all the great work on this.

14 COMMISSIONER MCALLISTER: Yeah. Thanks a
15 lot. Yep. Everybody's thumbs up. But thanks a
16 lot, Mike and team. I mean, there's a big team
17 behind you on this. And so I think it's
18 really -- it's really great work. And I think,
19 you know, the flip side of the challenges that
20 Vice Chair Gunda just sort of implied, you know,
21 on the reliability side, we also have some tools
22 that we can hopefully use to massage some of
23 these loads and encourage them, you know,
24 particularly that morning peak. And as we
25 successfully deploy more storage and better

1 storage and more diverse storage on the demand
2 side, you know, potentially manage that evening
3 peak kind of assertively or intentionally at
4 least as well. So but really appreciate this
5 work and, you know, and trying to just understand
6 the implications of all the -- of all the new
7 stuff that's going to happen on the electric
8 grid.

9 So and also just given how long it takes
10 to site and build new transmission, I mean it's
11 already kind of upon us, you know. So even
12 though the big impacts are sort of out at the 29
13 and beyond, that's not that far away. So really,
14 I think the timing here is really excellent as
15 well.

16 And again, really appreciate the
17 cross-agency collaboration on this. Really I
18 think makes sure that we get a product that's
19 well vetted and grounded, you know, from all the
20 different perspectives. So really appreciate
21 that.

22 I don't have any particular questions,
23 but really glad to see this progressing.

24 MR. JASKE: Thank you.

25 COMMISSIONER MONAHAN: And I'll just say,

1 you know, from a transportation perspective, that
2 it's interesting to see the contribution that
3 transportation makes to the load going forward.
4 And as we think about the potential, especially
5 for big ZEVs to provide energy back to the grid,
6 I think there's a lot of interesting food for
7 thought about how transportation could not just
8 be part of the electricity usage, but actually
9 part of the electricity generation at certain
10 times of the day.

11 So it feeds back into our -- the work
12 that Vice Chair Gunda is shepherding around DERs
13 and how do we make the right investments from an
14 R&D and transportation deployment perspective to
15 be able to capitalize on that opportunity, which
16 is, I think as yet ill defined?

17 COMMISSIONER MCALLISTER: Yeah, totally
18 agree with that. And I also found it interesting
19 that the, you know, in the out years in 35 you
20 know, it was impact on the transportation -- the
21 impact of transportation on that load growth was
22 roughly double. Right Mike? I'm just eyeballing
23 it, about double the buildings.

24 COMMISSIONER MONAHAN: Yeah. And then
25 you go out to what Quentin was modeling to 2050

1 and you really see it.

2 COMMISSIONER MCALLISTER: And you really
3 see it. Yeah, Exactly.

4 COMMISSIONER MONAHAN: I mean, I would be
5 interesting to see what that translates to in
6 terms of the percent of electricity.

7 COMMISSIONER MCALLISTER: Yeah.

8 COMMISSIONER MONAHAN: But it could be
9 half or more.

10 COMMISSIONER MONAHAN: Yeah. Yeah. And,
11 you know, that's quality batteries, right? If we
12 can really make that happen, that's great
13 resource to have out there on the distribution
14 grid. You know, a lot of batteries that are
15 standing at the ready. So. Yeah. Great.

16 All right. So no further questions I
17 think.

18 I want to just really thank the staff. I
19 mean, everyone today, really. Mike and Anitha,
20 congratulations on kind of going public with some
21 of your work. So that's great. And Ingrid and
22 Quentin, thanks so much. I mean, just we really
23 rely on you and you're so articulate on these
24 issues. And Gabe, thanks for being with us as
25 well. And Heidi, thanks for managing all the

1 proceedings, which are both virtual and
2 in-person. So really appreciate that.

3 So I think I'll pass it back to Heather
4 and Heidi to manage the public comment.

5 MS. JAVANBAKHT: All right. We've got
6 three questions that came in online. The first,
7 the question for Mike. What is the major driver
8 or drivers in the winter months for
9 electrification? Is it accelerated installation
10 of heat pumps? And then as a follow-up, since
11 the cost of gas is still lower than electricity,
12 I was wondering if this scenario takes into
13 consideration that the gas abatements, the gas
14 abatement costs to change. That was a mouthful.
15 Let me know if you need clarification on that,
16 Mike.

17 MR. JASKE: I think on an annual basis,
18 the highest residential sector change is water
19 heaters, in terms of annual energy. But since
20 the space heat is so concentrated in the winter
21 months, It's what drives the winter peak more
22 than water heating.

23 The other part of the question was our
24 cost taken into account? Cost obviously is an
25 important factor but should CARB's State

1 Implementation Plan control measures actually be
2 adopted as part of the S IP and implemented on a
3 statewide basis as we're assuming in this
4 scenario. In effect, CARB has made the
5 determination that the NOx reduction benefits
6 exceed the cost implications, if any. And so
7 it's a -- it's a ambient air quality attainment
8 strategy that has been dictated essentially by
9 CARB. And it's no longer a consumer decision.
10 It may not even any longer be a utility cost
11 effective, you know, cost effectiveness type
12 decision.

13 MS. JAVANBAKHT: From HongYan, also for
14 Mike. The Inter-Agency High Electrification
15 Scenario assumes higher AAEE forecasts in
16 addition to higher electrification forecasts.
17 How do you view the relative uncertainties
18 between them as the higher AAEE forecast will
19 offset the higher electrification load growth, it
20 is important for us to weigh in the different
21 risks to avoid underestimating the overall load
22 impact on the grid.

23 MR. JASKE: That's a good question. I'm
24 not sure I have a good answer. We hear a lot of
25 concerns about the negative, well the difficulty

1 of citing all the generation associated with
2 higher electrification, perhaps not so much in
3 this time horizon, but you know, further out into
4 the 2045, 2050 period. And so mitigating that by
5 pursuing cost effective electric energy
6 efficiencies seems like a thing that the energy
7 agencies are going to want to continue. Whether
8 it's at this exact level or some other level, I
9 guess I can't say. But we thought it was
10 important to build that into the scenario simply
11 because it does seem like a proper policy
12 consideration that we wouldn't just continue with
13 business as usual energy efficiency efforts.

14 MS. JAVANBAKHT: Okay. The next question
15 is from Mark. Do your models allow for
16 relatively sudden scaling of distributed
17 batteries, solar, and smart microgrids sufficient
18 to meet demand from both buildings and vehicles
19 on each property, using conversion kits for
20 medium- and heavy-duty vehicles and solar
21 canopies with stationary batteries to power them,
22 could pull this into late 2022 or throughout
23 2023.

24 I think it continues later in a different
25 thread. The assumption is breakthroughs in

1 performance cost and longevity for the
2 technologies.

3 MR. JASKE: No. We have not modeled any
4 increment of rooftop solar or behind the meter
5 batteries in this analysis than was contained in
6 the 2021 IEPR forecast, which do grow through
7 time, significantly in fact. But we're not
8 modeling it in the sense of this person's
9 question of, in effect, going to a non-grid
10 oriented electricity system. It's just we're
11 still forecasting and planning on a more, call it
12 conventional basis.

13 MS. JAVANBAKHT: One from Shonika and one
14 from Ben about DERs and where they fall within
15 the scope of the Demand Forecast is one of the
16 questions. And the other question is do any of
17 the scenarios consider targeted deployment of
18 DERs?

19 MR. JASKE: No. We do not consider. Let
20 me try to answer both them at the same time. We
21 do not, as I just said, include more rooftop PV
22 or behind the meter storage or any other DERs for
23 that matter, in this analysis over and above
24 what's already in the baseline demand forecast.

25 So and for the last question, no. We're

1 not doing any targeted deployment at all because
2 the scale of analysis here is the scale for IRP
3 planning, transmission planning, even
4 transmission load buss analysis is for most
5 utilities at a level of granularity far above
6 what you would want for actually targeting
7 appropriate DER deployment. So no, we're not
8 tackling that.

9 MS. JAVANBAKHT: Thanks, Mike. That's
10 all the questions online.

11 COMMISSIONER MCALLISTER: Well great.
12 Thanks for everyone's engagement. Really, really
13 appreciate those questions. And the chat has
14 been, or the Q&A, seen some of the some of these
15 questions floating around there so a lot of
16 questions during the course of the session. So
17 really appreciate that.

18 Let's see, we have no other questions.
19 So let's see, do we just need to -- we are -- we
20 do want public comment. I don't know if you want
21 to go through that, Heather.

22 MS. RAITT: Yeah, we still
23 [indiscernible]. We'll go ahead and do public
24 comments. Thanks, Commissioner.

25 So RoseMary Avalos from the Public

1 Advisor's Office is here to help us with public
2 comment.

3 MS. AVALOS: Minutes per speaker. If
4 there are several parties interested in
5 commenting, we will reduce the time to one and a
6 half minutes per speaker. So we'll go ahead and
7 move on to Zoom calls, because within the
8 audience we don't have any comments.

9 So if you're using the online Zoom
10 platform, use the raise hand feature to let us
11 know you'd like to comment and we'll call on you
12 and open your line to make comments. For those
13 on the phone dial *9 to raise your hand and *6 to
14 mute and unmute your phone line. And we will
15 unmute your line from our end.

16 So I'll first call on the folks with the
17 raise hands on the feature -- on the Zoom feature
18 and please do not use the speakerphone feature
19 when talking because we may not be able to hear
20 you clearly.

21 So Mark Roest, go ahead and open your
22 line and please state and spell your name and
23 state your affiliation, if any, for the record.
24 You may need to unmute on your on your end, Mike.
25 Mark. I'm sorry.

1 MR. ROEST: Did that do it?

2 MS. AVALOS: Yes. Yes.

3 MR. ROEST: Okay.

4 MS. AVALOS: And go ahead and spell your
5 first and last name and state your affiliation,
6 please.

7 MR. ROEST: Sure. My name is Mark Roest;
8 M-A-R-K, R-O-E as in Edward-S as in Sam-T as in
9 Tom. And I'm with Sustainable Energy Inc. And
10 so I got the question that I had written in
11 answered that are not addressing these questions
12 and we're not addressing the possibility of
13 gradually shifting to a non-grid or a distributed
14 micro-grid way of earning the grid.

15 So if this happens, okay, if it de facto
16 happens in the market with a major infusion of
17 new technology and mass production methods of
18 producing it, what -- how will you do this? How
19 will you react to it? And will it be possible?
20 And can you support the CCAs in their -- in their
21 business model and, you know, and pull withdraw
22 support from the utilities and their business
23 model and just use them as a servant. That's it.
24 Thank you.

25 MS. AVALOS: Thank you, Mark. Now we'll

1 move on to the next commenter, Vazken, and please
2 state and spell your first and last name and
3 state your affiliation, if any. Go ahead. Your
4 line is open, Vazken. You may need to unmute on
5 your end.

6 MR. KASSAKHIAN: Hi. Yes? Can
7 you -- can you hear me okay?

8 MS. AVALOS: Yes.

9 MR. KASSAKHIAN: Okay. Thank you. Hi.
10 Vazken Kassakhian. That's V-A-Z-K-E-N. Last
11 Name; K-A-S-S-A-K-H-I-A-N. And my affiliation
12 is Southern California Edison. Thank you.

13 So first off, thank you to the Commission
14 for your vision and leadership here in initiating
15 the policy based demand scenario forecasting
16 effort. Big thanks also to the CEC forecasting
17 team for taking on the extra work, collaborating
18 with stakeholders, including us, to manage the
19 timely development of the Demand Scenarios. The
20 work on these scenarios is of paramount
21 importance to the state's long term planning
22 efforts.

23 We see the importance for agencies to use
24 load forecasts that reflect the needs from
25 upcoming policies and development, like the

1 Advanced Clean Cars II and Advanced Clean Fleet
2 Rule that has been discussed. We also see the
3 importance for the forecast to reflect the needs
4 and impacts to put the state on a path for long
5 term decarbonization so we can be well prepared
6 for the grid needs and proactively plan ahead.

7 We are primarily, I think, really eager
8 to continue to work together on ways in which
9 these scenarios can be made actionable for
10 planning. As is the case for the approved
11 official IEPR forecasts. In the presentation and
12 slides, there was reference to consideration of
13 these scenarios for approval, as with demand,
14 forecasts. We're keenly interested in and
15 supportive of finding a path whereby these
16 scenarios can ultimately be approved to be made
17 actionable, or whereby official approved IEPR
18 Demand forecasts can catch up to the needs
19 represented and discussed here so that
20 stakeholders will be in a better position to plan
21 accordingly to realize the benefits of the
22 futures represented here and to get to where the
23 policies are appropriately guiding us towards.

24 So thank you again and we look forward to
25 continuing to partner and collaborate with you on

1 this important initiative. Thank you very much.

2 MS. AVALOS: Folks on the phone and a
3 reminder to phone users to dial *9 to raise your
4 hand and *6 to mute or unmute your phone line.
5 Okay. Just give it a few minutes for those on
6 the phone. Okay.

7 Well, seeing that there are no raised
8 hands for those on the phone, that concludes
9 comments for the phone lines. But we do have one
10 more comment raised hand on Zoom.

11 Ben Schwartz, you may go ahead and open
12 your phone. Please state your name and spell
13 your first and last name and state your
14 affiliation, if any. Go ahead, Ben.

15 MR. SCHWARTZ: Great. Thank you. Yes,
16 my name is Ben Schwartz. B-E-N; S-C-H-W-A-R-T-Z
17 and I'm the policy manager with the Clean
18 Coalition.

19 I -- can you hear me? Just making sure.
20 Great. The timer started, it looks like you can.
21 Okay.

22 I just want to make a few comments. The
23 first is thank you for all the hard work that
24 went into these scenario planning, Demand
25 Scenarios and forecasting. I asked a question

1 earlier about a strategic DER deployment, and so
2 this is kind of a broad comment on the IRP and
3 forecasting processes that currently do not
4 accurately take into account the benefits and
5 value of DER in the planning process, in the same
6 way that non distribution, i.e. transmission
7 level resources are considered.

8 And so I think that this forecasting is
9 the first step and it's very important, and the
10 next step has to be, well, what is the impact
11 going to be in terms of cost effectiveness and
12 rates? So how are these costs going to be
13 allocated to the ratepayers? And one of the
14 earlier slides said that when the utilities were
15 contacted about this and the effect of
16 transportation or electrification on rates, there
17 was little to no comments about that and how it
18 would affect rates.

19 So the first issue is, you know, better
20 utilizing DER and the multiple value streams they
21 provide, including resilience, which is of key
22 importance with wildfire issues and other natural
23 disasters.

24 And the second thing is just cost
25 effectiveness and what our current planning and

1 forecasting will end up looking like for the
2 actual rate payers. I just want to bring up that
3 CAISO recently put out a report for transmission
4 planning over the next two decades, saying that
5 there would need to be around \$30 billion in
6 initial CapEx costs. Now when, you know,
7 continued over the lifetime of the project, which
8 is 30 to 40 years, operations and maintenance
9 costs can end up being ten times that, meaning
10 that the state is looking at more like \$300
11 billion when it comes to simply simple
12 transmission investments. And you know, this
13 gets allocated back to the consumers via
14 transmission access charges.

15 So the next part of the equation, as I
16 see it and as the clean Coalition sees it, is not
17 only how are we forecasting and are we doing so
18 in the most granular way possible, but also how
19 will this result in a cost effective solution for
20 the state?

21 Once again, thank you for the work and I
22 look forward to continuing to collaborate on this
23 issue. Thanks.

24 MS. AVALOS: Are there any other
25 commenters? Use the raised hand feature.

1 Okay. Now seeing that there are no
2 raised hands, that concludes the public comment
3 period.

4 Now I'll turn to Commissioner McAllister
5 for closing remarks.

6 COMMISSIONER MCALLISTER: Well, great.
7 Thank you, RoseMary. And thanks for everyone for
8 your comments and for participating today,
9 listening in and mulling a lot of this over.
10 It's a lot to take in and some complex, you know,
11 many, many inter-related topics. So you know, we
12 need all the help we can get, both, you know,
13 from our excellent staff, some of which you all
14 heard from today, but also from our, you know,
15 immense group of knowledgeable stakeholders in
16 California, which are key to getting to good
17 decision making generally, and certainly helping
18 guide this conversation as well.

19 Highly technical and lots of interrelated
20 topics, I think in an unprecedented way actually,
21 compared to how we did electricity and energy
22 system planning in the past. So it's really
23 vital that we make progress on these various
24 issues together.

25 So, Commissioner Monahan, did you want to

1 wrap up with any comments?

2 COMMISSIONER MONAHAN: It's still really
3 nice to see all of you guys and it's been really
4 interesting and informative. I learned a lot, so
5 thanks for the conversation and look forward to
6 deepening it in the future. And really as we
7 learn and grow and change our modeling to really
8 intersect with where we see technology going,
9 where policy is going, it's a very vibrant time.
10 No shortage of analysis needed for the future.
11 So thanks to everybody.

12 COMMISSIONER MCALLISTER: Yeah.

13 COMMISSIONER MONAHAN: And again, thanks
14 to Heather and the IEPR team for all this hard
15 work.

16 COMMISSIONER MCALLISTER: Absolutely.
17 And, you know, new technology, new possibilities,
18 and programs, and policy technologies are going
19 to open up as we move forward. And so I think
20 we're getting ourselves prepared for you know,
21 both challenges and for positive solutions that
22 are going to emerge.

23 And so we need comments, additional
24 comments by April 21st. And invite everyone and
25 anyone to submit their written comments, so

1 please do that. Again, very important. And I
2 will just echo all the comments about how nice it
3 is. It's a little odd to be sort of truly
4 hybrid. The first meeting that I've been in like
5 this, but it's been really great to see people in
6 person and begin to sort of get used to living in
7 three dimensions once again. So it's a perfect
8 venue for that.

9 So with that, again, I want to thank
10 Heather and the IEPR team, Raquel and everyone
11 for making -- for keeping those wheels turning
12 and keeping them on the bus.

13 So and with that, I think we are
14 adjourned. Is that right, Heather? With nothing
15 else you need to add? Great. Okay. Well, we're
16 adjourned for the day. Thanks, everyone.

17 (Meeting adjourned at 4:49 p.m.)

18

19

20

21

22

23

24


25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 11th day of May, 2022.



ELISE HICKS, IAPRT
CERT**2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



May 11, 2022

MARTHA L. NELSON, CERT**367