

DOCKETED

Docket Number:	20-LITHIUM-01
Project Title:	Lithium Valley Commission
TN #:	243846
Document Title:	Transcript of June 16, 2022 Meeting
Description:	Transcript of Lithium Valley Commission Meeting held on June 16, 2022
Filer:	Erica Loza
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/6/2022 9:44:08 AM
Docketed Date:	7/6/2022

CALIFORNIA ENERGY COMMISSION
LITHIUM VALLEY COMMISSION

In the matter of,)
)
Lithium Valley) Docket No. 20-LITHIUM-01
Commission Meeting)

IN PERSON AND REMOTE VIA ZOOM VIRTUAL MEETING

Primary Physical Location:

Calipatria High School Library
601 W. Main Street,
Calipatria, CA 92233

Additional Publicly Accessible Locations:

Chula Vista Office Center
637, Suite E, Chula Vista, CA 91910

Warren-Alquist State Energy Building
Rosenfeld Hearing Room
1516 Ninth Street, Sacramento, CA 95814

California Natural Resource Agency
2nd Floor, Room 2-310
715 P Street, Sacramento, CA 9581

Franklin Public Library
32455 Franklin Rd, Franklin, MI 48025

THURSDAY, JUNE 16, 2022

1:00 P.M.

Reported By:
Martha Nelson

APPEARANCES

Lithium Valley Commissioners

Silvia Paz
James Hanks
Luis Olmedo
Frank Ruiz
Jonathan Weisgall
Steve Castaneda
Roderic Dolega
Miranda Flores
Arthur Lopez (Richie)
Alice Reynolds

CEC Staff

Erica Loza
Natalie Lee
Erica Brand
Silvia Palma-Rojas

Presenters

Jared Ferguson
Jaime Asbury - Imperial Irrigation District
William Thomas - Berkshire Hathaway
Jim Turner - Controlled Thermal Resources
Jon Trujillo - Berkshire Hathaway
Michael McKibben - University of California Riverside
Tina L. Anderholt Shields - Imperial Irrigation District
Abby Rodriguez - Sparkz

Public Comment

Maria Nova-Froelich, Calipatria Mayor Pro-Tem
Brian (NO LAST NAME)- Freelance Reporter
Edward Sheer (PHONETIC) - Businessman
Eric Reyes - Comite Civico Del Valle
(INDISCERNIBLE)

INDEX

	Page
1. Welcome & Roll call	4
2. Workshop on the Role of Existing and New Geothermal Facilities in the Salton Sea Region to Support Reliability, Grid Stability, Resiliency and Clean Energy Goals	9
Erica Brand, CEC	10
Jared Ferguson	21
Jamie Asbury	27
William Thomas	37
Jim Turner	39
Commissioner Q & A	44
3. Workshop on Overcoming Challenges: Extraction, Processing, and Production of Lithium from Geothermal Brine	77
a. Panel Discussion with Lithium Extraction Project Developers	79
Jim Turner	79
Jon Trujillo	89
b. Challenges and Solutions to Lithium Extraction from Geothermal Brines in the Salton Sea	
Michael McKibben	93
Tina Shields	109
Abby Rodriguez	124
Commissioner Q & A	132
Public Comment	145
5. Housekeeping - Upcoming Lithium Valley Commission Meetings and Activities	158
8. Public Comment	159
9. Adjournment	163
Reporter's Certificate	
Transcriber's Certificate	

P R O C E E D I N G S

1
2 June 16, 2022

1:09 P.M.

3 CHAIR PAZ: Welcome to the Lithium Commission
4 meeting. Today, we are meeting both in person and
5 through Zoom. We are providing interpretation services
6 in Spanish for attendees at our location here in
7 Imperial, and those who are participating in Zoom
8 through their computers or tablets. The Zoom
9 interpretation does not work for attendees who are only
10 joining by phone. A representative from the CEC will
11 now speak in Spanish to inform our Spanish-speaking
12 audience how to use the service.

13 (Pause)

14 Erica?

15 MS. LOZA: (Instructions in Spanish) Daré
16 instrucciones a aquellos de ustedes que quieran escuchar
17 la reunión en español. Hay un intérprete disponible a
18 través de la plataforma Zoom. Para unirse al canal en
19 español, haga clic en el ícono de globo pequeño en la
20 parte inferior de la aplicación Zoom. Seleccione el
21 canal donde dice S-p-a-n-i-s-h. Luego haga clic en la
22 frase siguiente donde dice "Mute Original Audio" para
23 silenciar el audio original. Si tiene preguntas o si
24 gusta hacer algún comentario, por favor de oprimir el
25 icono de la mano alzada y abierta o envíenos un mensaje

1 en español a través de la función de preguntas y
2 respuestas para ayudarlo.

3 Back to you, Chair Paz.

4 CHAIR PAZ: Thank you. Since we are now
5 meeting with publicly accessible locations as well as
6 online through Zoom, to have a quorum of Commissioners,
7 we are required to have at least one Commissioner at the
8 primary physical location that is open to the public and
9 complies with the requirements of the Americans With
10 Disabilities Act, referred to as ADA. All other Lithium
11 Valley Commissioners can attend remotely from an ADA
12 compliant location that is open to the public, and
13 provided in the meeting notice posted at least ten days
14 in advance of the meeting.

15 The only Commissioners that may deliberate,
16 discuss, comment, vote, or count towards a quorum on any
17 item are those attending in person at either the primary
18 physical location or the additional remote locations
19 listed in the ten-day notice. I will ask the CEC staff
20 to call the roll of Commissioners. When you answer,
21 please indicate if you are in one of the locations
22 provided in the meeting notice, including Calipatria
23 High School, Chula Vista Office Center, Warren-Alquist
24 State Energy Building in Sacramento, the California
25 Natural Resources Agency Building in Sacramento, or the

1 Franklin Public Library in Michigan.

2 If we can please call roll?

3 (Pause)

4 MS. LOZA: —neda?

5 (Pause)

6 CHAIR PAZ: Yes, Erica, we're ready for the
7 roll call.

8 MS. LOZA: Um, Commissioner Castaneda?

9 COMMISSIONER CASTANEDA: Present at Chula
10 Vista Business Center, Office Center.

11 MS. LOZA: Thank you. Commissioner Colwell?

12 (Pause)

13 Commissioner Dolega?

14 COMMISSIONER DOLEGA: Present, Franklin Public
15 Library in Michigan.

16 MS. LOZA: Commissioner Flores?

17 (Pause)

18 Commissioner Hanks?

19 COMMISSIONER HANKS: Here.

20 CHAIR PAZ: Calipatria High School

21 MS. LOZA: Commissioner Kelley — Vice Chair

22 Kelley

23 (Pause)

24 Commissioner Lopez?

25 COMMISSIONER LOPEZ: Here, personal phone.

1 MS. LOZA: — Olmedo?

2 (Pause)

3 CHAIR PAZ: Erica are you on mute? Because we
4 cannot hear you.

5 (Pause)

6 MS. LOZA: Commissioner Reynolds?

7 (Pause)

8 Commissioner Ruiz?

9 (Pause)

10 Commissioner Scott?

11 (Pause)

12 Commissioner Soto?

13 Commissioner Weisgall?

14 COMMISSIONER WEISGALL: Present, in
15 Calipatria.

16 MS. LOZA: Thank you.

17 (Pause)

18 And so, I have five Commissioners present.

19 CHAIR PAZ: Commissioner —

20 MS. LOZA: I'm going to say, uh, I'm going to
21 say the Commissioners that are not here, let me just re-
22 do that.

23 Commissioner Colwell?

24 Commissioner Flores?

25 Vice Chair Kelley?

1 Commissioner Olmedo?

2 Commissioner Reynolds?

3 Commissioner Ruiz?

4 Commissioner Scott?

5 Commissioner Soto?

6 (Pause)

7 Okay, there's five present.

8 MS. CARRILLO: Great, and before we move on,
9 Commissioner Lopez, I'll be giving you a quick call, if
10 you could step away from the Zoom to pick that up from
11 our 916 number. Thank you.

12 MS. LEE: Hello, this is Natalie Lee. Uh,
13 Erica and Chair Paz, perhaps you could request — I know
14 there were some competing meetings on calendar today.
15 And, could each of the hosts, if there are Commissioners
16 present at sites, if another Commissioner arrives, can
17 you interrupt the meeting so that we can reassess quorum
18 at that time?

19 CHAIR PAZ: Yes, we'll do that. Thank you.

20 Okay, so we do not have a quorum at the
21 noticed physical meeting locations at this time. We
22 will not be able to consider any motions or take votes,
23 unless we have a quorum. However, we will continue with
24 our agenda, discussions, and workshop as planned.

25 The agenda for today's meeting is shown on the

1 slide, and we also have printed copies here at the
2 location. During the workshops today, public comments
3 will be limited to three minutes. For all other items,
4 we request that comments be limited to two minutes.

5 Moving into the workshop, I want to thank
6 Commissioner Hanks and Commissioner Scott for arranging
7 these workshops today. I understand that they have
8 looked at ways to consider — to consolidate these issues
9 into one workshop as raised by the board. But, given
10 some of the important distinction in the issues, it was
11 determined two workshops was more appropriate.

12 So, I invite Commissioner Hanks to provide an
13 initial introduction for the first workshop.

14 COMMISSIONER WEISGALL: Does he need a
15 microphone?

16 CHAIR PAZ: I think they should be able to
17 hear you.

18 UNIDENTIFIED SPEAKER: Yeah — yeah.

19 CHAIR PAZ: Yes, it's on.

20 COMMISSIONER HANKS: Okay, page four, right?

21 CHAIR PAZ: Uh huh.

22 COMMISSIONER HANKS: Thank you, Chair Paz and
23 Vice Chair Kelley, wherever you're at. As we all know,
24 this Commission was requested to review, investigate,
25 and analyze, among other topics, the potential benefits

1 of and added value to existing and new geothermal
2 facilities in the areas that contain mineral rich brines
3 for the state, the western energy grid, and the United
4 States. Including, but not limited to, grid stability,
5 reliability, and resiliency.

6 The first workshop will focus on the role of
7 existing and new geothermal facilities in the Salton Sea
8 region to support reliability, grid stability,
9 resiliency, and clean energy goals. We will hear from
10 the state, local, and the industry perspective. I would
11 like to introduce Eric Brand, from the CEC, Jared
12 Ferguson, from CPUC, Jaime Asbury, from the Imperial
13 Irrigation District, who will provide the state and
14 local perspective.

15 And our industry representatives, William
16 Thomas, from Berkshire Hathaway Energy Renewables,
17 perhaps more commonly known locally here as CalEnergy,
18 and Jim Turner from Controlled Thermal Resources, or
19 CTR, who will provide the perspective of existing
20 facility owner and operator and new facility,
21 respectively.

22 With that, we will kick off the first
23 workshop. And we would — uh, call on Erica Brand

24 MS. BRAND: Good afternoon. I'm Erica Brand,
25 with the California Energy Commission's Siting,

1 Transmission, and Environmental Protection Division.

2 Thank you for the opportunity to present today.

3 Today, I'm going to discuss the evolution of
4 the state's clean energy goals and the current and
5 future role of geothermal energy, as well as the CEC's
6 planning efforts for the resource build needed to
7 achieve SB 100. The term "resource build," is a
8 reference to a set of generating, transmission, and
9 integration resources identified to meet future policy
10 and reliability goals such as SB 100.

11 Next slide, please.

12 California has an ambitious suite of clean
13 energy and climate goals, and geothermal energy is
14 poised to play an important role in the portfolio of
15 solutions that will be needed to meet those goals. SB
16 100, the 100 Percent Clean Energy Act of 2018, requires
17 that eligible renewable energy resources, and zero-
18 carbon resources, supply 100 percent of total retail
19 sales of electricity in California to end use customers,
20 and 100 percent of electricity procured to serve all
21 state agencies by 2045.

22 SB 100 also increased the state's renewable
23 portfolio standard to ensure that at least 60 percent of
24 the state's electricity comes from eligible renewable
25 resources by 2030. SB 100 requires the CEC, California

1 Air Resources Board, and the Public Utilities Commission
2 to prepare a joint policy report every four years, that
3 meets certain statutory requirements. The first report
4 was issued in 2021, and found that the state needs a
5 significant buildout of clean energy generation over the
6 next 25 years to meet our goals.

7 Next slide, please.

8 Geothermal energy has provided California with
9 clean and reliable electricity for over 40 years.
10 Expanding geothermal energy production can advance
11 California's progress towards its statutory renewable
12 energy and climate mandates. Geothermal energy is
13 considered a firm resource, which is a term for
14 generating resources that can generate electricity at
15 any given time. In contrast, wind and solar generation
16 can vary over the course of a day or a season.

17 A diverse, clean energy portfolio that
18 includes geothermal can help spread out renewable
19 generation more evenly during the day and the season,
20 supporting overall grid operations and reliability. A
21 reliable electricity system is one that takes steps to
22 safeguard the state's power grid by meeting generation
23 and supply challenges with cooperative planning,
24 innovation, and equity actions. In other words,
25 reliability means maintaining a balance between

1 electricity supply and demand at all times. This
2 balance must be sustained, responding to fluctuations to
3 electricity demand throughout the day, and must quickly
4 be restored when there is a grid disturbance.

5 And for my last point on this slide, currently
6 geothermal energy has the smallest land footprint of any
7 comparable renewable energy generation source. These
8 facilities are compact and use less land per gigawatt-
9 hour than wind or utility scale solar-photovoltaic
10 plants. In a few slides, I'll share activities that the
11 CEC has underway related to exploring the land use
12 implications of SB 100.

13 Next slide, please.

14 As I mentioned earlier, the first SB 100
15 report was released in 2021, and it was a first step to
16 evaluating the challenges and opportunities in achieving
17 100 percent clean electricity by 2045. It includes an
18 initial assessment of the additional energy resources
19 and the resource build rates needed to achieve the goal,
20 along with an initial assessment of associated costs.

21 The study explored multiple scenarios,
22 including a core scenario, which selected 135 megawatts
23 of new geothermal capacity in 2045. There were other
24 scenarios. Up to two gigawatts of new geothermal
25 capacity was selected in scenarios where limited

1 quantities of wind energy were available, either from
2 other regions across the west, or offshore. It's
3 important to note that the estimates in the 2021 report
4 are intended to serve as a foundation for future work
5 and will change over time as additional factors such as
6 cost, system reliability, landuse, energy equity, and
7 workforce needs are more closely examined.

8 For example, after the modeling for the 2021
9 report was complete, the National Renewable Energy
10 Laboratory, or NREL for short, released the 2020 update
11 to their annual technology baseline, which provides a
12 consistent set of technology cost and performance data
13 for energy analyses. The 2020 update included a 30
14 percent reduction in geothermal cost projections.
15 Moving forward, if this updated cost data is used,
16 additional quantities of geothermal energy may be
17 selected in future rounds of SB 100 modeling.

18 Next slide, please.

19 A key finding of the 2021 SB 100 Joint Report
20 is that achieving this goal will require sustained
21 record-setting build rates through 2045. Including a
22 tripling of solar and wind build rates from our 10-year
23 historic average, and an eight-fold increase in battery
24 build rates from 2020.

25 Next slide, please.

1 Thank you. Following the release of the 2021
2 report, the California Energy Commission, California
3 Public Utilities Commission, and the California
4 Independent System Operator, or Cal-ISO for short,
5 initiated a collaborative process to focus on the
6 resource build requirements to achieve SB 100.

7 So again, that's the set of generating,
8 transmission, and integration resources that may be
9 needed to meet the future goals. This slide captures
10 some of the ongoing activities related to SB 100
11 analysis, and planning for the resource build.

12 Last summer, the CEC, CPUC, and CAISO hosted
13 three workshops. The first workshop focused on next
14 steps to plan for the SB 100 resource build. The second
15 workshop focused on identifying in and out of state
16 transmission that may be needed to achieve SB 100 goals.
17 And the third workshop focused on energy resource and
18 land use mapping.

19 Several themes emerged from participant and
20 stakeholder feedback at those workshops. The first was
21 recognition of the unprecedented pace and scale of the
22 resource build and the challenge ahead to decarbonize.
23 The second is the need for investments in the
24 transmission system to achieve SB 100 goals. And third,
25 that the SB 100 planning effort and the resulting

1 resource build needs to achieve multiple goals so that
2 our future system is clean, reliable, equitable,
3 resilient, and protects the environment.

4 Moving along, one of the first, um, products
5 that came out after the SB 100 report was what was
6 called a Starting Point Scenario and Resource Map, to
7 inform the Cal-ISO's 20-year transmission outlook study.
8 I'm going to describe that starting point document
9 further in a couple of slides.

10 The final box on this timeline reflects SB 100
11 land use related activities that were kicked off at a
12 workshop earlier this year. Recognizing the scale of
13 new power plants and transmission lines that may be
14 needed to achieve SB 100, the 2021 report included a
15 number of recommendations related to exploring the
16 potential land use impacts of different pathways to
17 achieve SB 100.

18 So, earlier this year there was a workshop
19 that focused on land use and energy planning. And there
20 were a couple of key themes that emerged from that
21 workshop from participant and stakeholder feedback. The
22 first is that land availability for new generation and
23 transmission is a potential barrier. The second, is
24 that long lead times for building transmission is a
25 potential barrier. And the third was a recommendation

1 to integrate communities into land use analysis for
2 energy resource planning.

3 CHAIR PAZ: Erica, if I can interrupt you for—

4 MS. BRAND: Yeah.

5 CHAIR PAZ: — a second, I just want to note
6 for the record that we have been joined by Commissioner
7 Olmedo and Commissioner Ruiz here in Calipatria.

8 Thank you, Erica, we — we can continue.

9 MS. BRANS: Okay, no problem. So, related to
10 land use, the CEC is researching and evaluating how we
11 can consider land use impacts and integrate them into
12 planning for future SB 100 studies.

13 Next slide, please.

14 I'm going to focus in more detail on the 2040
15 starting point scenario document that was released last
16 summer. This document was designed to provide
17 information for a wide range of potential transmission
18 needs driven by a diverse combination of potential
19 renewable and zero-carbon resource opportunities. This
20 slide here shows what type of generation resource and
21 how much was considered in the starting point scenario,
22 so the technology assumptions in megawatts for the year
23 2040.

24 And this starting point scenario was developed
25 by taking the 2040 SB 100 core scenario from the 2021

1 report and increasing assumed natural gas power plant
2 retirements to 15 thousand megawatts by 2040, as you can
3 see here in the red bar. The starting point scenario
4 also included 2,332 megawatts of geothermal, which was
5 an increase from the SB 100 core scenario. It's
6 important to note that the use of the starting point
7 scenario for the 20-year transmission outlook study that
8 CAISO conducted isn't a commitment to the resource and
9 storage mix on this slide. The energy agencies intend
10 to consider a range of scenarios in forthcoming
11 analytical and stakeholder work. For example, the
12 liability assessments and land use analysis.

13 Next slide, please.

14 One of the other steps that the agencies
15 collaborating on this document had to take was to
16 geographically map the resources on the previous slide
17 to specific regions. This map here on the left shows
18 the renewable resource potential by transmission zone
19 from the modeling done for the SB 100 Joint Agency
20 Report, and this was used to inform the starting point
21 scenario. On the map, you'll see geothermal resource
22 areas shown in orange. The map on the right zooms in on
23 the Imperial Transmission Zone.

24 As a starting point for CAISO's 20-year
25 transmission study, and to more fully understand the

1 ability for geothermal to scale in and around the Salton
2 Sea region, the agencies allocated most of the
3 geothermal capacity to the Imperial Transmission Zone.
4 Studying the transmission implications of this level of
5 geothermal development in the Imperial Transmission Zone
6 can help improve the inputs and assumptions in future
7 energy system planning, including the next SB 100 Joint
8 Agency Report.

9 So, moving into planning for the next SB 100
10 report, we're working to update the data, the methods,
11 and the analysis for how we do this kind of geographic,
12 um, mapping of energy resources and the analysis of land
13 use and environmental implications.

14 Next slide, please.

15 So, picking up on that point, we have a number
16 of SB 100 and land use related activities that we are
17 conducting this year, and planning for moving forward.
18 So, the first is the agencies are continuing inter-
19 agency coordination on land use in energy resource
20 planning. This means collaborating together on key
21 planning processes, like SB 100, the Integrated Resource
22 Plan, and the transmission planning process. We
23 continue to seek stakeholder and public feedback on how
24 the agencies can best incorporate land use implications
25 in future planning for SB 100.

1 We are expanding our local outreach and
2 engagement efforts to explore the future resource build
3 pathways to achieve SB 100. And so, this is really an
4 opportunity to hear perspectives on the opportunities,
5 challenges, and how the state can better integrate
6 state-wide electricity planning with local land use and
7 energy planning efforts.

8 And finally, we're coordinating with the CEC
9 team that's leading this year's Integrated Energy Policy
10 Report, which will include something called the
11 California Planning Library, where the environmental and
12 land use analysis that I touched on in the last couple
13 of slides, and for SB 100 moving forward, will be
14 included. So, there will be another opportunity for
15 engagement there.

16 Next slide, please.

17 Thank you so much for this opportunity to talk
18 about SB 100, the role of geothermal, and some of our SB
19 100 implementation activities moving forward. Thank
20 you.

21 (Pause)

22 CHAIR PAZ: (INDISCERNIBLE) announce that
23 Commissioner Flores joined us in Sacramento at 1:18.
24 And again, Commissioner Olmedo and Commissioner Ruiz
25 joined us in Calipatria High School at 1:34, so I

1 believe we have reached quorum.

2 COMMISSIONER HANKS: Okay, we'll move on to
3 our next speaker, Jared Ferguson. Jared is with the
4 CPUC.

5 MR. FERGUSON: Thank you. Sorry, go ahead.

6 COMMISSIONER HANKS: Well I just — going to
7 say go ahead Mr. Ferg—

8 (laughter)

9 MR. FERGUSON: Sorry about that. Thank you
10 for inviting me here today. My name is Jared Ferguson,
11 and I'm an analyst with the Integrated Resource Planning
12 Team in the Energy Division at the California Public
13 Utilities Commission. I have a few slides here to
14 briefly introduce the CPUC's Integrated Resource
15 Planning, and to talk about the most recent IRP
16 portfolio results focusing on the new geothermal
17 resources that are included. And, to discuss how those
18 portfolios are utilized in transmission planning.

19 Next slide, please.

20 Established by SB 350 in 2015, IRP is meant to
21 guide the electricity sector's resource planning to help
22 the state achieve its greenhouse gas reduction goals
23 while maintaining that system reliability. We focus on
24 the electric system at large, looking across the
25 boundaries of the various load serving entities to

1 identify resources, optimization opportunities, and
2 issues that may not be apparent on a individual LSE by
3 LSE basis. We have just wrapped up the latest IRP
4 cycle, which was guided by the state's SB 32 goal of
5 reducing GHG emissions 40 percent by 2030, and also the
6 need to keep the state's electricity sector on a
7 trajectory towards achieving those deep decarbonization
8 goals of SB 100.

9 A typical IRP planning cycle is divided into
10 two parts. The first part is where the CPUC staff and
11 commission identify an optimal resource portfolio for
12 meeting the state's policy objectives, and then sets
13 requirements for LSEs based on that portfolio to dev— to
14 develop plans for — for their own individual resource
15 procurement.

16 In the second part of the cycle, CPUC
17 aggregates and analyzes those LSE plans and portfolios
18 and compares that plan system produced by the LSEs to
19 the previously identified optimal system. The CPUC then
20 eventually adopts a final preferred resource portfolio
21 through a commission decision, which is used for
22 planning and procurement.

23 Next slide, please.

24 This slide is just here to show the complex
25 electric sector planning ecosystem that IRP works in.

1 I'm not going to go in to too much detail on all the
2 interrelations, but it's just to demonstrate the scale
3 of the inter-agency coordination involved in this
4 effort. The IRP process relies on key policy guidance
5 from both the carb-scoping plan and SB 100, and a
6 variety of import assumptions from — from load
7 assumptions taken from the CEC work and so forth.

8 The IRP then feeds directly into planning and
9 procurement by those load serving entities, and also
10 directly into the Ca — California ISO's transmission
11 planning process.

12 Next slide.

13 So, the recent decision in February by the PUC
14 that adopted the Preferred System Plan did a few things,
15 including lowering the greenhouse target down to 38
16 million metric tons by 2030, and included a preferred
17 system plan portfolio for use in planning and
18 procurement and for transmittal to the ISO.

19 This PSP portfolio has over 40 gigawatts of
20 new renewable resources and storage that need to come
21 online by 2032. In addition to including significant
22 amounts of solar and battery storage, it also has a
23 variety of long lead-time resources. Resources that
24 take many years to plan and develop, such as offshore
25 wind, long duration energy storage, and particularly,

1 1.1 gigawatts of geothermal, as seen in the summary
2 table on the right.

3 Next slide, please.

4 So, this 1.1 gigawatts of new geothermal in
5 this portfolio is — is spurred predominantly by the
6 recent mid-term reliability decision, which seeks to
7 ensure there are sufficient resources online by — in a
8 mid-decade timeframe to ensure reliability while meeting
9 the state's GHG goals. As part of this procurement
10 decision, LSEs are required to procure a thousand
11 megawatts of new clean, firm, renewable resources. And
12 as Erica mentioned earlier, geothermal is one of these
13 firm, renewable resources.

14 As part of the IRP, we then take these amounts
15 of resources that have been identified in the portfolio
16 and map them to specific locations through a Busbar
17 mapping process. This Busbar mapping process is a joint
18 effort by staff at this Commission, both the CPUC and
19 the Energy Commissions, and, as well as the ISO, to
20 downscale the resources selected to individual
21 substations so that the ISO can use the portfolio in its
22 — in its transmission planning process.

23 This joint effort relies on a stakeholder
24 vetted methodology that uses a variety of criteria to
25 identify multiple l— or optimal locations for these

1 future resources. These criteria include limiting land
2 use and environmental impacts, utilizing available
3 transmission capacity or identifying cost-effective
4 transmission upgrades for the resources. And finally,
5 aligning with commercial development interests,
6 particularly locations where there are projects
7 progressing through the inter-connection queues of the
8 Cal-ISO, or the IID, and other balancing area
9 authorities.

10 The most recent results of this Busbar mapping
11 effort back in February for geothermal are shown on the
12 table here to the right. Over half of those 1,100
13 megawatts are mapped to the Imperial Valley on the
14 southern side of the Salton Sea. Then, about 400
15 megawatts are mapped to Nevada, interconnecting with the
16 California ISO in Southern Nevada. And finally, small
17 megawatt amounts are mapped to both the Eastern Sierra
18 area south of Mono Lake, and to the geysers area in
19 Northern California. This aligns with the development
20 interests we're seeing, with most planned geothermal
21 projects in the queues being concentrated in either
22 Nevada or the Imperial area.

23 Next slide, please.

24 As I noted, the CPUC transmits these
25 portfolios to the ISO for use in the ISO's annual

1 transmission planning process, which covers a ten-year
2 time horizon to assess future reliability, economic, and
3 policy driven transmission needs. The CPUC typically
4 transmits multiple mapped portfolios each year for the —
5 the ISO to use in the TPP. The first set of portfolio
6 is the Reliability and Policy Driven Base Case
7 Portfolio. This is the portfolio that — that the Cal-
8 ISO uses to identify transmission solutions and upgrades
9 that then can go before the ISO's board of governors for
10 approval.

11 The CPUC also transmits sensitivity
12 portfolios, which the ISO studies in the transmission
13 planning process. However, the transmission solutions
14 and upgrades identified in these portfolios have
15 generally not gone up for approval. These results still
16 provide additional insight into potential transmission
17 needs under various scenarios and are — and are key
18 information sources for future IRP work.

19 This year's TPP, which is the 2022-23 TPP, the
20 Commission transmitted the mapped 2021 PSP portfolio,
21 which I just showed, as the reliability and policy
22 driven base case for study out to the year 2032. The
23 CPUC will also be transmitting a sensitivity portfolio
24 by the end of June. This portfolio models a lower
25 greenhouse gas target, and also utilizes a high

1 electrification load forecast from the CEC.

2 Additionally, this portfolio looks at the
3 resource build needs further into the future with a
4 study year of 2035, rather than 2032. And to wrap up
5 with one little point of information about the TPP
6 process, in this year I noted the portfolio included 600
7 megawatts of new geothermal, meaning to come online by
8 2032 in the Imperial area, and this is not a new
9 development. The base-case portfolios in the previous
10 two TPPs included similar amounts of new geothermal in
11 the geo— in the Imperial area.

12 Next slide, please.

13 Thank you very much. Back — back over to the
14 Commission.

15 (Pause)

16 COMMISSIONER HANKS: Alright, we'll move on to
17 the third speaker, Ms. Jaime Asbury.

18 MS. ASBURY: Good afternoon. Thank you, on
19 behalf of IID for allowing us to take part in this. I
20 know Director Hanks sits on the Commission, and we're
21 very appreciative of that. But, it's nice for us to be
22 able to tell you how IID sees its role in the
23 development of geothermal and what we are doing
24 currently and in the future to facilitate that
25 development.

1 Next slide, please.

2 A little bit about the district, just as a
3 whole, because it — it will make more sense in the
4 context of — of the information that I'm going to
5 provide. We're a load serving entity in California with
6 approximately 158 thousand retail customers, and a peak
7 load on the worst hour on the worst day of summer of
8 1,185 megawatts.

9 We have internal generation resources of 629
10 megawatts, and we have procured resources including
11 geothermal. And, we have additional geothermal under
12 contract to commercially be operative in 2024 and
13 beyond. IID is also a balancing authority, and we
14 handle not only our load and our generation, but also
15 additional independently owned third-party generation of
16 1,300 megawatts.

17 Next slide, please.

18 With regard to the existing geothermal, IID is
19 very fortunate to be home to this really tremendous
20 resource, and we've had interconnected geothermal
21 facilities on our system since the late 1980's - early
22 1990's. We have 17 going concern plants with nameplate
23 capacity of 652 megawatts. The existing Salton Sea KGRA
24 capacity of that 652, 488 of it is located within the
25 Salton Sea region. And, within the KGRA at the Salton

1 Sea we have CalEnergy with 11 plant and Energy Source
2 with one plant. There are also additional resources
3 currently in development in that area.

4 What is existing exports both into the
5 California Independent System Operator Corporation
6 Balancing Authority Area, but we are also sending a
7 portion of it to the east to the Salt River Project in
8 Arizona. Remaining geothermal not located within the
9 KGRA is largely plants owned and operated by Ormat,
10 they're located in the East Mesa and the Heber area, and
11 West Brawley. I did want to highlight that we have
12 significant geo and a — and a lot of experience in
13 geothermal resources.

14 Next slide, please.

15 We also have queued generation geothermal,
16 specifically in our innerconnection process. Right now,
17 our current total interconnection queue consists of 21
18 projects proposing a host of technologies and resource
19 types. Biomass, geothermal, solar, and storage, and
20 those projects combined have a proposed capacity of
21 approximately 2,307 megawatts. IID interconnects
22 generation by way of a process defined under its open
23 access transmission tariff. IID's tariff is less
24 complex than that of the ISO, because we are a
25 traditional transmission service provider, the ISO is

1 more of a market in addition to being a planning
2 authority and balancing authority.

3 With — with regard to IID's current queued
4 geothermal, there are plants proposing new capacity of
5 907 megawatts, all located within the Salton Sea region.
6 We're excited about that development. We are hopeful
7 that it all develops, that would be the best of all
8 scenarios. And generally, the projects that are being
9 proposed at this time are associated with secondary
10 processes for lithium and other mineral extraction.

11 Next slide, please.

12 So, IID's been busy the last couple of months,
13 looking at its existing system, and what we could do
14 with what we currently have, what we can do in terms of
15 interim measures, and what we can do for a long-term
16 strategy to support export of this resource and this
17 generation from the IID system. If you look at your
18 screen, the blue line in the center is — is largely
19 where all of the double line, the KNKF line, is largely
20 where all of the current geothermal aggregates, and it
21 exports out of the IID system at the Devers Mirage
22 intertie with Southern California Edison.

23 So, right now, we can export — and we're
24 currently exporting 750 megawatts — it's ready for that
25 amount. It has the ability to go almost double that as

1 it currently exists, and as projects come along that
2 become real. In order to raise that, we're subject to
3 going to another regulatory authority in order to
4 increase that. And there's a study process associated
5 that is underway at this time and the district is
6 prepared to facilitate those stud—

7 Next slide, please.

8 This is what we propose as an interim
9 solution. It's currently under way, and if you look
10 below the double blue line, you see a line— an
11 indication of — we're calling it the new geothermal
12 switching station, because they haven't had an
13 opportunity to be creative in naming it. But that's
14 intended to export additional generation from the IID
15 system into the California markets. That will take the
16 Path 42, or the existing double line up to approximately
17 1,750 megawatts (INDISCERNIBLE) of export.

18 Next slide, please.

19 Then the much longer term plans that IID is
20 looking at, is you see the yellow line above the blue
21 line, it would take aggregated geothermal out of the
22 Salton Sea region. It will export it up into the Devers
23 system, but it also — we're looking at a longer-term
24 solution to be — then becomes necessary for export in

1 the southern part of the system as well, by that sort of
2 taupe colored proposed transmission line.

3 This is a proposed 500 kb backbone system.
4 This would approximately allow us to export double what
5 we are currently contemplating, or approximately 3,000
6 megawatts. Should the resource develop to that level of
7 potential.

8 Next slide, please.

9 So, we see significant benefits of geothermal
10 just from the system perspective and being a balancing
11 authority in addition to it being a resource that we
12 procure for load-serving purposes. From a system
13 perspective, it provides grid-resiliency, it provides a
14 level of comfort to the district, it helps us
15 significantly integrate the intermittent resources.
16 Erica mentioned that earlier.

17 Solar is tha— we have no wind on our system,
18 surprisingly, but we do have a — a lot of solar
19 interconnected to the system. And as it ramps in the
20 morning, it's — it's a challenge, but it's more of a
21 challenge in the evening when it drops off, because it
22 doesn't drop off in a glide path, it drops off rather
23 rapidly. And, when you have a baseload resource like
24 geothermal, it allows you — it certainly provides, as
25 Mr. Martinez likes to say, it's a shock absorber for

1 transient events on the system, and it also helps fill
2 in the — those valleys that we sometimes get when
3 there's cloud cover.

4 Geothermal is a true baseload renewable
5 resource with geo sources naturally occur in heat and
6 effluent from the earth. The resource is sustainable
7 and sta— a stable source of generation. We have found
8 that those operators of facilities within the Salton Sea
9 KGRA are good stewards of that resource. That resource
10 has been producing for over 32 years, and it doesn't
11 show any sign of slowing down, and you — we're hopeful
12 that it remains stable long-term.

13 The technology is also evolving. Ramping
14 capability will provide further benefits from that tip —
15 that particular type of resource as — as it continues to
16 evolve with other secondary and tertiary processes.
17 We've had some really interesting discussions with
18 developers and concepts. And eventually, those concepts
19 will come to fruition.

20 Next slide, please.

21 So, the geothermal resource — I'm going to get
22 — this will make more sense when we get to the next
23 couple of slides. There's been some questions about
24 royalties and how those come to be, and what they are.

1 And, the royalties are based on how the geothermal
2 resource is used. And the resource is very clearly
3 defined in the California Public Resources Code. I
4 won't — I won't read it, but it's essentially whatever
5 comes from below the surface of the earth.

6 Next slide, please.

7 Generally, royalties arise in the context of a
8 real property lease, or in the — in the — within the
9 use of a piece of real property. IID has purchased
10 property in the KGRA, and owners have retained that —
11 that IID purchased from have retained mineral rights.
12 So, that would make a little more sense when we get a
13 couple of slides down.

14 But generally, royalties are based on use and
15 how the use of the geothermal resource arises. If that
16 resource is produced on the property, or unitized, you
17 know, grouping — groupings of land within a unit. As
18 electricity is generated by a facility using the
19 resource, or minerals that are extracted from the
20 resource produced from the property, the royalty and the
21 value of the royalty is generally a negotiated rate, and
22 it is generally determined based upon the type of
23 transaction.

24 For example, if you're selling the resource,
25 it's a certain percentage of gross production. If you

1 are producing energy, it's a val— it's a percentage
2 based on whatever that gross production is. Or, if
3 there are minerals extracted, it is based on, again,
4 negotiated value, but based on it— whether it be ton or
5 whether it be whatever other measurement is used within
6 the context of that negotiated agreement. Again, they
7 generally arise in the context of a real property lease
8 or reserved the right under the deed.

9 Next slide, please.

10 So, mineral royalties — and we've most
11 recently entered into a lease on property that IID owns
12 with a private developer. And, we will receive payment
13 from the sale or use of the resource, or extracted
14 mineral from (INDISCERNIBLE) or receive payment from
15 instead of lessee. But it will be dependent upon the
16 type of the transaction. It's generally based upon,
17 again, gross production, and the value is negotiated at
18 the outset of the agreement.

19 Whether or not, for example, IID leased part —
20 a parcel of property, there is intended to be generation
21 source there, IID has also entered into a power purchase
22 arrangement with the lessee of that property. So,
23 whether or not we take generation from that resource,
24 eventually, will — the value that we'll pay, and — or

1 will be paid in terms of royalties on the other side of
2 the transaction, will be based on what the negotiated
3 percentage is within the agreement. Probably doesn't
4 make a lot of sense. It makes a lot more sense in the
5 context of the documents themselves.

6 Next slide, please.

7 So currently, what those projects that are
8 interconnected, the existing geothermal plants that have
9 been online many, many years, and which were nego—
10 negotiated many, many years ago, IID receives
11 approximately \$400 thousand dollars annually, plus or
12 minus, based upon the gross production that comes from
13 those geothermal facilities.

14 In large measure, that comes from the
15 electricity generated, and from no other source. And
16 recognize that some of these royalties are less than,
17 you know, one tenth of one percent. Royalties in this
18 situation, for the existing geothermal, are paid into a
19 lease and there are 20 remaining overriding royalty
20 holders to whom IID pays a proportional share of the
21 annual interest, and it's based on interest they've
22 retained under separate agreements.

23 For example, repurchased property — they
24 retain the mineral rights, but we've now leased the
25 properties so they are entitled to a share of the

1 royalties that are generated. And the value of future
2 royalties that may be payable to IID, or to any other
3 third party, will be dependent upon the gross production
4 and how that resource is used going forward.

5 So, awful lot of information, but what I would
6 also like to say today is, it's very clear that all of
7 these things — all of these agencies have a very
8 significant and important role in planning and assessing
9 and implementing getting this resource online and able,
10 in support of the California grid and from other — for
11 other load serving entities within California. And so,
12 we're certainly happy to be part of that solution for
13 the state, and appreciate very much the time today, and
14 would be happy to take any questions at the appropriate
15 time.

16 (Pause)

17 COMMISSIONER HANKS: On to our next
18 presenter, Jim Turner, with Controlled Thermal
19 Resources. Oh, pardon me, I skipped over. We'll move
20 to William Thomas with Berkshire Hathaway.

21 MR. THOMAS: Good afternoon, everybody, thanks
22 for having me today. So, my name is William Thomas.

23 (AUDIO FEEDBACK)

24 (Pause)

25 Good? Geothermal Resource Director at

1 CalEnergy, or Berkshire Hathaway Energy Renewables. I
2 work here in Calipat, right at the field. And, just a
3 little bit of background. I don't have a presentation
4 today, I apologize. I just wanted to give a little bit
5 of background about what we do on the day-to-day basis
6 out there.

7 COMMISSIONER HANKS: I'm not sure if the
8 audience — I'm not sure if you're close enough to the
9 mic.

10 MR. THOMAS: Can you hear me there?

11 COMMISSIONER HANKS: Yes, excellent, thank
12 you.

13 MR. THOMAS: Excellent, thanks. So, just a
14 little bit of background there. For, for the facilities
15 at CalEnergy, BHE Renewables have been operating out
16 there for the past 40 years or so. Currently, we
17 operate 345 megawatts out of various units. Those 345
18 are operated with about 60 — 60 wells, both production
19 and injection wells. That's a daily operation, really,
20 of maintaining those wells, making sure we continue to
21 deliver those 345 megawatts.

22 And, I think over those 40 years, we've really
23 continued to look at the— the resource and ha— and h—
24 the sustainability of that resource. So, having the
25 ability to produce those 345 megawatts for a — for a

1 period of time without really having reservoir decline
2 gives us the confidence to continue to — to, to operate
3 at that rate for — for years to come.

4 In addition to that, I think we know the — the
5 Salton Sea area, the KGRA, is really a robust geothermal
6 reservoir, one of the — if not arguably the largest
7 geothermal reservoir in the world. And it is
8 underdeveloped at the moment. And, so, not only our
9 goal is to continue to operate the 345 megawatts, but
10 really to also grow and help support SB 100 and continue
11 to expand in the area in a sustainable manner. I think
12 over the years of having — having the ability to operate
13 at that 345 megawatts really shows that it is truly a
14 renewable, where we can sustain that amount.

15 Not all geothermal projects — often times
16 they're not able to do that. We have that history to
17 show that, um, that we've been able to do that and plan
18 to continue to do that. Like I said, I really — I
19 didn't have a presentation here today, so, I'm here,
20 happy to answer any other questions that we have after
21 the — after the rest of the talks.

22 COMMISSIONER HANKS: Thank you.

23 (Pause)

24 MR. TURNER: Good. Thank you for the

1 opportunity today, my name's Jim Turner. I'm the Chief
2 Operating Officer at Controlled Thermal Resources, and
3 for those of you who don't know me already, I've been
4 associated with all the geothermal plants at the Salton
5 Sea in one form or another, generally senior management,
6 since 1993.

7 Built several of them, so I have a fairly long
8 history on that resource. And first of all, I don't
9 have any slides. Knowing I was going to go last, I
10 figured that the other presenters probably would say
11 pretty much everything I was going to say anyway. But I
12 would like to make some comments on — on top of what's
13 already been said.

14 The very first one is what Billy Thomas just
15 mentioned about the longevity of the Salton Sea
16 geothermal resource. And that is a testament to the
17 reservoir engineers, reservoir managers, and the people
18 that — that actually operate that reservoir for their
19 knowledge and expertise, and — and actually making that
20 reservoir as robust and as healthy as it is.

21 We can all point to other areas in the world
22 where that hasn't been done, but these Salton Sea is
23 definitely a shining example. CalEnergy has led the
24 way, Magma Unocal before that, but it is a, definitely a
25 testament to those people.

1 To echo just a couple of things that Jamie
2 mentioned. These plants are highly resilient. They
3 have a — a very positive addition to the grid. They act
4 as a spring so that if something happens on the grid, to
5 a fair extent, because they are such a large rotating
6 mass, they can help keep that grid stable. We all need
7 that, we want to be able to go home at night, hit the
8 switch, turn the lights on, make sure the air
9 conditioning is working, especially down around here.
10 And, and, these geothermal plants, because of their
11 design, are some of the most stable plants globally. If
12 you go back to 2011, if some of you remember we had a
13 large outage in Southern California. I think the only
14 plants that remained running when that grid went down
15 were the geothermal plants out here. They definitely
16 helped IID get started again when their grid was cleared
17 for operation.

18 So, these have a remarkable addition to grid
19 stability. The one thing about these plants though, is
20 that they do take a lo— a fair amount of time to
21 develop. It's not something that you can start today
22 and it's running tomorrow or next year or the year
23 after. Typically, the development time for these plants
24 might be anywhere from five years, probably at the best,
25 to maybe eight or nine years, depending upon your

1 researchers you have at your availability.

2 The other thing I'd like to mention, to echo
3 some of what Jamie had to say, is that we desperately
4 need good transmission and good transmission paths to
5 move this power out to the rest of California. We're —
6 we're located in a wonderful area, except for the real
7 high loads are over in the coast, as many of you know,
8 and the transmission paths to get that power over there
9 are fairly limited, and those that exist are pretty
10 congested.

11 So, if there's one thing to re— to remember
12 and maybe bring back to other people, is we need those
13 transmission paths in order to be able to move this
14 power out of the valley. We — we won't be able to use
15 all of the power here in the valley because we are
16 rural, however, we can satisfy a good portion of what
17 the Imperial Valley needs, and then still have some
18 leftover when we fully develop the Salton Sea resource.

19 They are capital intensive. This is a — a
20 significant resource, in that it has some corrosive
21 materials in that brine. And so, you typically do not
22 build these plants out of carbon steel. You end up
23 using alloy material that is expensive, and today, as
24 we've seen in some of the supply chain issues around the
25 world, they take a long time to obtain if you're

1 building new plants.

2 And the Salton Sea resource, I don't think
3 anybody's mentioned what the current capacity projection
4 is of this, and it's a little bit of an estimate, but
5 it's close to 3,000 megawatts. And as you heard from
6 others, there's only probably close to 500 megawatts
7 that's currently being produced. So, we have a lot of
8 energy we can still produce from this reservoir and
9 still maintain its robustness and — and longevity.

10 So, a lot of us are trying to do that, but
11 again, these — these take a while to develop and, and
12 get to where they're operational.

13 The last thing is, we all want clean air. And
14 this is one of those renewable resources that provides a
15 lot of good electricity and very little dent on the
16 clean air. So, this is one that we need, it's robust,
17 it runs 24 hours a day seven days a week. We can go a
18 number of years in between major overhauls on these type
19 of plants, and so their uptime is phenomenal.

20 If I go back to the 1990's when I was at
21 CalEnergy, we actually received a letter from Southern
22 Cal Edison that we had the highest capacity factor,
23 which means the — the most megawatts for the size plants
24 that we have, of any third-party generator on Southern
25 Cal Edison's list.

1 That was quite an honor, and what it means is
2 that the operators and the maintenance personnel that
3 actually run these plants, you know, can do in a — a,
4 just a fabulous job at keeping them operating. So, with
5 that, I'll end.

6 CHAIR PAZ: Well, thank you to our presenters.
7 And I want to thank — all the presentations were very
8 informative. We now have an opportunity for any
9 Commissioners to pose questions for the panelists. And
10 then we will go to public comment after that. Before I
11 start calling on Commissioners, I do want to note that
12 Commissioner Reynolds joined the meeting in Sacramento
13 at 2:07.

14 I have a couple of questions, so maybe I'll
15 start. So, to summarize the state perspectives, what I
16 heard is that geothermal is going to play an important
17 role to help us achieve the 2045 clean energy goals,
18 right, 100 percent. What I didn't hear in, you know,
19 just layman's terms, it's like, what percentage — out of
20 the portfolio, what percentage is — is it going coming
21 from geothermal, and what is determining that value?

22 (Pause)

23 COMMISSIONER HANKS: Do you have any
24 particular person you —

1 CHAIR PAZ: So, I think maybe the people from
2 the state who — I don't know who was — both Erica or
3 Jared?

4 MS. BRAND: Hi, Commissioner. I would have to
5 look at the portfolios and provide a range back of a
6 percentage. I don't have that off the top of my head, I
7 apologize for that, but I'm happy to follow up.

8 CHAIR PAZ: Thank you. Okay, so my next
9 question, and the reason why I'm asking is — well,
10 they're, we're — this is the Lithium Commission, right?
11 And, my other question is how does lithium extraction
12 affect geothermal? We're going to speak about the
13 challenges in the next panel, but I also wanted to
14 understand, as we are starting to remove lithium from
15 the geothermal, what is going to be the effect on the
16 geothermal itself?

17 And another question related to that is, will
18 it increase the need for geothermal plants? And maybe
19 some of the developers can answer that question?

20 MR. TURNER: Sure. This is Jim Turner again.
21 First question, regarding if we extract —

22 (AUDIO FEEDBACK)

23 I have an echo.

24 Okay. If we extract lithium, lithium only
25 exists in the brine in the parts per million range. If

1 you extract lithium from that brine, although you
2 extract lithium from it, the resulting brine just about
3 looks identical to what it looked like before you took
4 the lithium out. There's no chemical change occurring
5 in the brine as a result of extracting the lithium. The
6 brine can go back in the ground, it can obtain more
7 energy from the heat in the earth and be just as
8 renewable as it ever was. And — and if someone were to
9 analyze the brine, basically do an analytical technique,
10 all they would see is that the lithium is — most of it
11 is probably, you know, gone.

12 The second question is probably the more
13 important one, in that I — from my perspective, what
14 lithium does is it helps us spread the cost of the
15 infrastructure to obtain renewable electricity. The
16 wells that we drill are terribly expensive. They could
17 be \$10-15 million per well because of the high cost of
18 the alloys. It's expensive to drill.

19 The infrastructure, moving the brine to where
20 it needs to be for processing is expensive, and if we
21 can add a lithium extraction plant utilizing those
22 assets, whether they're brand new or whether they're
23 existing, that helps spread that cost. And — and that
24 is a good thing, you know, for any kind of an operating
25 company.

1 So, that's where I see that part on the cost,
2 and I think going forward, as we — as we get used to and
3 we develop new technology for lithium, integrating
4 extraction with the production of power is, I think,
5 going to help us reduce our development and capital
6 costs even further. And — which reduces the overall
7 costs, whether it's electricity or — or the lithium, and
8 that's, I think, our hope, and I'm sure shared by
9 everybody else that's in this business.

10 (Pause)

11 COMMISSIONER HANKS: Quick comment and then a
12 question.

13 CHAIR PAZ: That is Commissioner Hanks. So,
14 if you can say your names when you speak.

15 COMMISSIONER HANKS: Jim Hanks, with the IID.
16 And I don't know — hope I don't get into an area where I
17 shouldn't go. If I do, I'm sure Jaime's going to stop
18 me, okay.

19 I'll — when — when the PPA was negotiated
20 with IID, there was consideration given to the cost of
21 that PPA. Basically, a credit because the — of the
22 lithium extraction, which benefits all of the IID energy
23 customers in both the Imperial Valley and the Coachella
24 Valley, is that not correct?

1 MS. ASBURY: That is correct. So, we are
2 buying energy from a independent power producer, and
3 they are paying back to us a royalty on the use of the
4 geothermal resource, and those royalties will be
5 different and augmented by the fact that they're using
6 the resource and they're generating electricity from it.
7 So, that's one bucket or two buckets of royalties.

8 The third bucket will be to the extent there's
9 a lithium extraction component that will augment, that
10 will be additional revenue that comes back to IID under
11 the lease agreement. So, it's a series of interrelated
12 agreements. But, we buy from them, and then we receive
13 revenue back from them based on what they've produced.

14 COMMISSIONER HANKS: Okay. My second
15 question, again, Jim Hanks, and I'll address this one to
16 Jim Turner. What would you say is the percent, say, of
17 a 50-megawatt flat, and with the, the extraction of — of
18 the recovery of the lithium, what percent of it — of
19 that generation would be used for recovery purpose and
20 what would be available for export?

21 MR. TURNER: This is Jim Turner again.
22 Excellent question. Our estimates would be probably
23 just under half of our overall generation would be used
24 for the lithium plant. Obviously, it depends on the
25 technology one chooses, and the particular lithium

1 compound that you're trying to make.

2 Just to give you an example, if you're making
3 lithium hydroxide, which is highly sought after
4 especially by the US auto makers, and — and you make it
5 via a chemical reaction process, you'll use one amount
6 of electricity. If you decide to make lithium hydroxide
7 from an electrochemical process where you actually put
8 electricity into the solution and you make lithium
9 hydroxide that way, you tend to use more electricity for
10 a ton of lithium hydroxide. So, it depends on the type
11 of process.

12 But in general terms, we expect that it would
13 be just under half the production of electricity would
14 be used internally for lithium compound production, and
15 then the other half is available for sale to others.

16 COMMISSIONER HANKS: So, now I'm going to show
17 you what I don't know. I hear — I hear quite often —

18 (AUDIO FEEDBACK)

19 I hear quite often that the geothermal has
20 great value as far as inertia and frequency. Can you
21 just, from a very eye level, tell us what that value is,
22 and how valuable that would be to, to the grid?

23 MR. TURNER: I don't know if I can put it in
24 numbers. This is Jim Turner. But, one way — one way to
25 look at this is, if you get home at night from work, and

1 your air conditioner's not running, and the lights won't
2 turn on, how valuable is that? And it's July out here,
3 and it's 114 degrees. I mean, it's like in the old days
4 when we had dial up telephones and all of the sudden
5 they didn't work. That's when we started about how
6 valuable, you know, the telephone is.

7 Well, the spring in the system, Jaime Asbury
8 mentioned it as — I forget the term she had up here, but
9 I use the word spring, she had shock absorber. So that
10 when we get upsets in the transmission grid, those
11 rotating generators and turbines, because they are so
12 heavy, are able to absorb some of that upset. And — and
13 so, these plants all have rotating masses. And even
14 though they're not gigantic like a nuclear plant
15 generator, combined, they do provide a lot of spring to
16 the system. And so, there's been lots of studies to try
17 to put a dollar amount on that spring, and the — I know
18 there are dollar amounts out there, but the real value
19 is when you go home at night and it's been 116 degrees
20 outside and you find your air conditioner's off and the
21 lights don't work and you can't find anything, what's
22 the real value of — of that event?

23 And — and quite often, by the time that event
24 happens, the value goes sky high. While we're all

1 sitting here today the lights are on, it's cool in here,
2 people tend to put a lower value on that spring, if they
3 put a value on it at all. So, it's one of those
4 mystical characteristics of the types of generators that
5 we use in this business that helps us to be comfortable
6 with the air conditioner on and the lights working.

7 (Pause)

8 CHAIR PAZ: Any other questions from
9 Commissioners here in Calipatria?

10 COMMISSIONER WEISGALL: I do. Luis, you, I'm
11 sure you Luis. Why don't you go ahead.

12 COMMISSIONER OLMEDO: This is Luis Olmedo,
13 and, I — I know this is not what you're talking about.
14 But I always have a sensitive spot whenever — you know
15 one situation I always hear is about, well do you want
16 jobs or do you want this. And I, I almost felt that
17 that's where you were going with your example. I don't
18 think you were, but just for far too long disadvantaged
19 communities are always in a situation where it's like
20 it's this or that, you know. And we can have it all.
21 It all can be done and — and again it's not in anything
22 you said — I just — my, my brain, it's already very
23 sensitive spot to whenever I hear anything that is
24 leaning in that direction, because, you know, year after

1 year, decade after decade, it's — it's always a
2 tradeoff, you know. And these tradeoffs seem to be much
3 more profound in disadvantaged communities. And — and
4 here, you know I've — I'm very optimistic of what could
5 happen with the opportunities in front of us.

6 Again, nothing you said I think, but, just
7 reminded me — just a good reminder, right, that I think
8 we're living in a different time. That — you know,
9 what's one of the main priorities have been very clear,
10 and is that, you know, there — there can be and there
11 will be a — a path of equity and justice, you know.
12 And, you know — and I sometimes say the win-win plan,
13 right? Industry succeeds, the community succeeds,
14 right? So, thank you, that's all. I don't have any
15 other questions.

16 CHAIR PAZ: Thank you. Commissioner Weisgall?

17 COMMISSIONER WEISGALL: Sure. Number of
18 different points. Number one, I'm no expert, Chair, but
19 I — I think geothermal now constitutes about six percent
20 of the total load in California. But let's just make a
21 note to ask Erica to follow up. Let's — and, and Erica,
22 let's assume that thousand megawatts comes online. I
23 think it would be useful to know — get a good guess as
24 to what that mix will be. Obviously, that's going to be

1 tough because there are very broad assumptions about
2 offshore wind, for example, that — that have their own
3 challenges. But, I think it will be very important for
4 us to — to nail that down.

5 Jim Turner, you — you talked about the 2011
6 outage, and just now even that spring or shock absorber
7 capability. Black start is another term that's used.
8 Can you talk about that in terms of the value of
9 geothermal?

10 (Pause)

11 MR. TURNER: This is, if a power plant is
12 down, usually you need a little bit of power in order to
13 be able to start it up. Yeah, it's ju— actually it's
14 just like your car. You have a battery in your car.
15 That provides a little bit of power to get the engine
16 turning and started, and then it basically goes by
17 itself and at the same time in a car, of course, it
18 recharges your battery, hopefully.

19 So, in these geothermal plants, the way that
20 most of them at the Salton Sea are designed — not, not
21 all of them have that design, but most of them are. I
22 think there's one that doesn't. We designed these so
23 that we have a — an auxiliary generator, and if the
24 plant is cold, it's down all the way, it's not operating

1 — and the — the grid system is down, so there's no
2 electricity that we can actually pull in from the grid,
3 we can start these plants with a little bit of help from
4 that generator that we use for either emergency purposes
5 or for black start. We can get the generator — the
6 power plant running.

7 Once it's running, and I mention this on that
8 2011 example when we had the outage, if the gas turbine,
9 say that IID has, if they don't have the ability to
10 start themselves with some extra power coming from
11 somewhere and the grid is operational, then our plants,
12 our geothermal plants, can provide the power needed for
13 IID to start the rest of their generator system. So,
14 there's — there's a benefit there.

15 And in one case, you can tab your generator,
16 or note it, as a black start generator. If you do, you
17 have to do extra things periodically to test it and so
18 forth. But, because these — these generators either can
19 start with the help of a small little diesel gen— driven
20 generator, or more importantly, if the grid goes down,
21 our generators out here are designed — and — and this
22 goes for all the plants, whether it's Energy Source,
23 CalEnergy, and ours when we build them — they're
24 designed so that they don't turn off, they go down to

1 where they're operating just enough power to be able to
2 run the plant itself, we call it house. It — it goes
3 down to house load.

4 Then when the grid is operational again, we
5 basically in effect become a black start generator that
6 can help others get up and running. So, there are some
7 characteristics of the way we designed these plants, and
8 all of us design them this way today, that actually
9 provides a — a real help to IID out here if we were to
10 lose all the power on the grid like we did in 2011.

11 COMMISSIONER WEISGALL: So, also what you're
12 saying is the grid can go down, but mother nature
13 doesn't go down, and that's where geothermal has an
14 advantage over other resources. Is that a good way to—

15 MR. TURNER: Absolutely. That's a really good
16 way to put it. You know, mother nature is there, we
17 don't mess with mother nature. We don't mess with
18 mother nature, you know, the heat's still there, and we
19 can keep these plants running and actually be the
20 assistance for the rest of the generation system to get
21 going.

22 COMMISSIONER WEISGALL: Are you aware that
23 (INDISCERNIBLE) pay for that value?

24 MR. TURNER: They — they —

25 (AUDIO FEEDBACK)

1 They do — they do pay for it wrapped into the
2 rate that we all charge for a kilowatt-hour of energy.
3 We don't — we don't try to separate out those
4 attributes. We actually, when we do our economic
5 analysis on these plants, we look at the — the price we
6 need to charge for energy so that we have acceptable
7 economics for the owner of the company, the shareholders
8 et cetera. And — and we get things wrapped in with it
9 like the ability to black start, the spring that we
10 talked about, the resiliency portion, all those
11 characteristics as well as the — the notation that it's
12 clean energy. It all goes with every kilowatt of energy
13 that goes out.

14 COMMISSIONER WEISGALL: (OFF MIC)

15 MR. TURNER: Actually, they could —

16 (AUDIO FEEDBACK)

17 (Pause)

18 — the sun shining, they're making power.
19 Whether or not they're making enough power to help start
20 up a — a remote generator somewhere is, that's a
21 question. And the same for wind. If the wind is
22 blowing, and the propellers are turning, they have the
23 ability to generate power. The question is, is it
24 enough power to start, say, a gas turbine in the area or

1 some other significant power plant.

2 COMMISSIONER WEISGALL: Another question for
3 you —

4 (OFF MIC)

5 — that's not the case elsewhere. Can you tell
6 us a little bit about the geysers, because that's
7 usually held up as an example where things did not work
8 out as well as they should have, but there were
9 solutions found.

10 MR. TURNER: I wasn't going to use that as my
11 example. I didn't, but I will, now that you've asked.
12 The geysers — the geothermal industry learned a lot from
13 the development of the geysers back in the 1960's. The
14 geysers was originally thought that it would put out
15 somewhere near 2,000 megawatts. So, some of the
16 infrastructure was installed for that.

17 Basically, they had too many straws in the
18 milkshake, and what happened by, oh, the 1990's I
19 suppose, the — the ability for the subsurface reservoir,
20 which is the steam reservoir at the geysers, was not
21 enough to sustain as many megawatts as they had
22 installed power plants. And so, their power output
23 dropped.

24 And they did do some marvelous things. They
25 actually inject water into that reservoir, it's hot, and

1 produce steam, and they've been able to maintain a
2 production rate today — I think it's around 900
3 megawatts, somewhere in that range. Much less than the
4 original output that they thought they could achieve out
5 of the geysers. And everybody learned from that.

6 Now, this was 50, 60 — 60 years ago, when —
7 when those lessons were starting to be learned. And,
8 and so again, when you look at the Salton Sea reservoir,
9 and I'm sure a number of other reservoirs around the
10 world, those engineers and scientists that — that work
11 on that facet of geothermal production, they — they
12 actually have done a marvelous job out here.

13 As a General Manager of CalEnergy when I ran
14 it, and same thing with EnergySource, sometimes you get
15 frustrated because you want them to draw more out of
16 that reservoir, but, you know, they say no and pound
17 their fist on the — on the table, and you know, you
18 listen to them. And when you look back five or ten
19 years, you know — you know exactly why that reservoir is
20 as healthy as it is. It's because of those men and
21 women who, you know, insisted that we run it in a
22 certain way.

23 COMMISSIONER WEISGALL: Tell us a little bit —
24 distinguish between the geothermal reservoir at the

1 geysers and the um, at — and the nature of the
2 geothermal reservoir here at the Salton Sea, especially
3 regarding brine and, and steam issues, things like that.

4 MR. TURNER: Sorry, can you repeat that?

5 COMMISSIONER WEISGALL: Disting— tell us the
6 difference between the, the resources up at the — the
7 geothermal resource up at the geysers vs the geothermal
8 resource here.

9 MR. TURNER: This is probably better answered
10 by Jon, however I'll just — just quickly tell you that
11 this is a liquid dominated resource. So, the reservoir
12 down below is basically saturated with liquid brine.
13 It's very hot, it's under pressure, and we just tap into
14 that. We bring brine out, we extract the energy in the
15 form of steam, then we put the brine back in, let mother
16 nature heat it back up.

17 The geysers, basically, is a gigantic block of
18 granite about 10,000 feet or so down in the ground, and
19 it's hot. It's surface is about 600 degrees Fahrenheit,
20 and what it does is it boils any moisture in the 10,000
21 feet above it enough so that it becomes pretty high
22 pressure steam. And so, at the geysers, the wells
23 extract steam, and they're able to put that right into
24 the turbine, after they clean it up a bit, and make
25 electricity.

1 We have to take an additional step down here.
2 We bring up the liquid brine, we put it into a vessel
3 that's about half full, and as soon as you do that and
4 open the valve at the top, it's like a pressure cooker
5 on your stove, steam comes out of the water, water
6 temperature goes down, the steam gets cleaned up, goes
7 into a turbine.

8 COMMISSIONER WEISGALL: So, you're telling me
9 that the — (OFF MIC)

10 — with you and (INDISCERNIBLE) real quick
11 questions. Jaime, I just want to clarify that the
12 royalties you've talked about are all based on
13 percentage and not flat rate numbers. Is that a correct
14 statement? In terms of —

15 MS. ASBURY: That is correct, and they — the
16 amount of percentage varies based on the use of the
17 resource. Correct.

18 COMMISSIONER WEISGALL: Excellent. Question
19 for either Erica or Jared. You know, we heard about the
20 PSP, we heard about the IRP, we hear about the TPP.
21 Erica, you showed a slide, it was number 17, it's the
22 one that showed the 15,000 megawatts of gas coming off
23 and then the additional increments that are needed.

24 Where — where does the transmission need come

1 into that planning process? Is it a fair statement to
2 say that you make the calculations of what's needed, and
3 then you send all of that to the CalISO to do its
4 transmission planning? Or does the need for
5 transmission come in earlier in that process? Or
6 something else, I don't — would like some clarification.

7 MS. ASBURY: Yes, so that slide I shared was
8 from the 2040 starting point scenario document that was
9 prepared last summer with the CEC, CPUC, and CalISO for
10 the purposes of informing the 20-year transmission
11 outlook that CAISO then — then performed, which looked
12 20 years ahead, potential transmission needs based upon
13 that scenario. And that 20-year transmission outlook
14 became available from CAISO earlier this year, the
15 results of that.

16 COMMISSIONER WEISGALL: Okay. I may have more
17 but let — let me stop there and turn it back to you,
18 Chair. Th—

19 CHAIR PAZ: Thank you. I saw Commissioner
20 Frank Ruiz, you had a question.

21 COMMISSIONER RUIZ: Yeah, thank you. Frank
22 Ruiz, here. This question has two parts, and I'm trying
23 to put it in layman terms so that everyone can
24 understand. You were referring as these form of energy

1 as one of the more — of the most not just consistent,
2 but reliable. And so, the question is, what can
3 interrupt, you know, this — this really reliable form of
4 electricity? Especially as, you know, it will continue
5 to increase, you know, because of lithium extraction.

6 And the second is, if it is reliable 24/7, and
7 in 360 days, how many of those days, you know, is this
8 energy running, right? Because you had mentioned that
9 this is a very corrosive, you know, that — you know, way
10 of, you know, extracting energy, and — and it requires a
11 lot of maintenance.

12 MR. TURNER: I'll answer the second question
13 first.

14 COMMISSIONER RUIZ: Okay.

15 MR. TURNER: So ,the seco—

16 (AUDIO FEEDBACK)

17 The second question about reliability. To
18 give you an example, and I'll — I'll use CalEnergy
19 because that's the most familiar with the history there.
20 In the early days, Magma Power made all their plants out
21 of carbon steel. Unocal made one plant with expensive
22 alloy materials, and there were two different thoughts
23 on — on how to have what we call high operating factors,
24 in other words the plant is up running full speed for as

1 many days as you can.

2 And the right answer was probably a mix of
3 what those two companies were doing. You want to have
4 alloy material and you monitor the chemistry. These
5 plants typically, when — when we do a financial model
6 when we're developing a plant out here at the Salton
7 Sea, I think most of use 95 percent of the time, it's up
8 running at a 100 percent output in our model.

9 With good operating procedure, good
10 maintenance procedure, and you have built that plant out
11 of good materials, not just carbon steel, these plants
12 really run probably better than 98 percent of the time.
13 And a — a lot of that is because of the training of the
14 people who operate and maintain. Their experience and
15 their expertise goes a long way to have that kind of a
16 operational excellence.

17 Because of the corrosive nature of the brine,
18 we do have to take these plants down a certain amount of
19 time — typically every year would be a plan. It might
20 be a long weekend just to check. But every two to four
21 years or so, we would typically take these plants down
22 for anywhere from a 15 to 18 day what we call a
23 turnaround. We'd shut them all the way down, we take
24 everything out of all the vessels, get in there, check
25 the vessels for how they are, clean them up, make

1 repairs, that type of a thing, start the plant back up.

2 So, we've learned that over the years, and —

3 and the — and the most important is, train people well.

4 Get them the tools and the resources they need to — to

5 do what they do best operating and maintaining these

6 plants, and then obviously build the plants out of the

7 right materials, and they practically run themselves.

8 It's — it's really this — this kind of the same

9 scenario as I mentioned with the reservoir where you

10 learn your lessons, you apply your lessons, and you hire

11 and train people to, you know, do an excellent job.

12 Now I forgot what the first question was.

13 COMMISSIONER RUIZ: What — what are the bigger

14 challenges —

15 (Pause)

16 — to the production?

17 MR. TURNER: It's — I can tell you it's not

18 earthquakes. People think that it could be, because,

19 you know, the earth moves and we have lots of wells down

20 in here. But our experience out here, and John can

21 correct me for recent experience if — if I'm incorrect

22 here, is that we typically don't see a change in the

23 production or the injection capability in the wells. On

24 the surface, all the years that I ran CalEnergy, only

1 one time did one earthquake trip a plant offline. And,
2 and I forget what year that was, but it was the Elmore
3 plant, and the epicenter was fairly close to it. Didn't
4 trip the rest of the plants out there, but it tripped
5 that one. Didn't cause damage, but the way these
6 generators and turbines are built and designed, they
7 have vibration monitors on them, because these are big
8 masses that are spinning. So, we have vibration
9 managers in w— um, uh, that we typically set very
10 sensitive, so if we get a vibration that is outside the
11 threshold, it will shut the turbine or the generator
12 down, you know, as a protection means.

13 And so, earthquakes aren't it. Typically, it
14 would be operator error. If we had a shutdown where
15 maybe a pH, which is a measure of how acid or basic they
16 — the su— the material is. If that control feature
17 gets out of whack it could cause the plant to shut down.
18 But again, the training that goes on at these plants is
19 such that that's pretty rare. And that's one of the
20 main reasons why we see these high operating factors.

21 If you go to the old Magma plants, I mentioned
22 they're all — were originally made out of carbon steel.
23 There have been upgrades over the years, but it's not
24 quite the same as if you'd build a highly alloyed plant
25 in the beginning. And so those are probably the

1 toughest ones to — to operate and maintain at those high
2 levels. But they do operate at pretty high levels from
3 everything that I've seen. And even the most — the
4 oldest plant out here that Unocal built, it went
5 commercial in 1982, it's still running today. Not made
6 out of a lot of alloy material, but again, that's a
7 testament to the guys and women that are running it.
8 So, 40 years of operation is pretty dog-gone good for a
9 power plant.

10 CHAIR PAZ: I think Commissioner Olmedo has a—

11 (AUDIO FEEDBACK)

12 Luis, do you have a question?

13 COMMISSIONER OLMEDO: Two, actually. One is,
14 are the comparison, you know, about geothermal serving
15 as a, sort of a jolt of energy into these power plants
16 that could go off. Just can't help but thinking as to
17 what a great opportunity for IID to get into the
18 business of geothermal and start retiring the old fossil
19 fuel plants. I don't know what goes into that, what the
20 costs are to the public, I know they're a public
21 utility, and you know, this a very, you know, low income
22 disadvantaged community in general, for the most part.
23 So, can't help but think that, right? That's the
24 direction we as — as the earth is moving in that
25 direction.

1 So, the other question is — well, that wasn't
2 a question, just a comment. I don't really expect
3 answers at this time, but I certainly would continue to
4 drive that question — hopefully trigger some
5 conversations around that. So, question specifically
6 for BHE is, with all the push towards electric vehicles,
7 innovation, a lot of these companies tend to display a
8 lot of the innovation, whether it's in concept, whether
9 it's, you know, full proven test mode— models, and just
10 all technology in general.

11 And I'm just wondering if BHE, in the life
12 that — in the time that it's been there and where it's
13 headed, if it has thought about investing in — in
14 technology that would zero out waste management, you
15 know what they call cradle to cradle, or you know
16 capture emissions. I mean, I don't know. I mean, I'm
17 just — I don't know the — the many different
18 opportunities that are there. And if it's not, would it
19 — does it have in its plans of how it shares that type
20 of innovation with the community, with the public,
21 because I think there's value in that, you know, in
22 terms of learning, education, perhaps even inspiring,
23 you know, the — the young generation who one ten — one
24 day in the future will be the future workforce, the

1 future innovators.

2 So, given that there is so much of that going
3 on, you know, and maybe it's just new language, you
4 know, to me, or maybe to others here, you know, there's
5 just so much talk about startups and investments,
6 because those — that kind of language hasn't, sort of,
7 been here for a very long time. And this is an
8 agricultural community, that's kind of what we've always
9 seen, you know. And so, just curious, you know, that —
10 where is BHE now, where is it going, or you know, is it
11 already doing these things we're just aware of — and I
12 appreciate the tour, by the way, you know. Going beyond
13 that.

14 MR. TRUJILLO: I hear you, Luis, and — and
15 first off, I want to compliment you on the — on the idea
16 and suggestion to, to evaluate any f— any replacement of
17 fossil fuel energy with geothermal. I mean, that's,
18 that's where we have to go as a society and as a state
19 to — to be reliable. And as Jim accurately said, feel
20 confident turning on the lights and making sure that our
21 fridge is still working and we've got AC to keep — keep
22 our families cool when it's 105 outside.

23 When it comes to technological advances and
24 reducing waste and emissions, absolutely. You know, we

1 — we're part of this community. We have standards
2 within all of our regulatory aspects, and honestly, it's
3 good business to — to reduce our waste streams as much
4 as possible. And — and with that, we're — where we
5 were, you know, we've been here for 40 years as an
6 operator. And — and at times, the market wasn't there
7 for more geothermal. I wish it had been, but I'm really
8 excited about what's happening right now, both on the
9 geothermal front, and the lithium front. And the
10 ability to — to hopefully and successfully align those
11 is — is really tremendous.

12 So, at times, we probably could have done a
13 better job communicating what we were doing and
14 expressing that out to the community. We're — we're now
15 focused on geothermal development along with making sure
16 that we have operational excellence and continue to
17 operating — operate our plants right now.

18 We have 40 years of lessons learned that we
19 want to apply to our new developments, and also as we
20 retrofit equipment and make it more reliable for future
21 use, apply those benefits as — as pieces of equipment we
22 wear out and say how can we do this better. And so, so
23 with that — and then of course we're in progress with
24 our lithium demonstration facility. And so, we're very

1 excited about that, but, you know, as you probably heard
2 Jonathan say before, we want to crawl before we want to
3 walk, and walk before we want to run. And so we're —
4 we're really in progress of that phase and, and looking
5 forward to seeing the results of the demonstrations both
6 for the recovery and capture of lithium from the brine,
7 and then secondarily being able to convert that to a
8 better grade product that would allow us to operate
9 electricity vehicles or in balance with the, with the
10 grid for IID and others, develop batteries that — that
11 will help — help with storage on these intermittent
12 renewable resources when — when geothermal is not
13 everything.

14 I'm — the — Erica as well as Jared had
15 presented a lot of facts where, unfortunately,
16 geothermal isn't number one. And I'm a cheerleader for
17 geothermal, so I'm — I want to see it up there as high
18 as possible, but the reality is, is we're going to need
19 other resources and a lot of that's going to come from
20 storage too. So, being a part of that factor by
21 supplying California and American made lithium, and
22 that, that removes us out of this geopolitical game is —
23 is foremost in everyone's mind.

24 The — the other thing that I can say is — is

1 with our newfound recognition to — to develop and
2 support growth within the community, that is a win-win
3 here, we are proactively getting together better and —
4 better communication plans and then— and aiming to
5 engage with community and make sure that everybody
6 understands what we are doing and how we're doing it,
7 and making sure that they — they believe it's safe and
8 know that it's safe.

9 So, I guess that — I hope that answers the
10 question for you at least.

11 CHAIR PAZ: Thank you. I hate to be the one
12 to — I hate to be the one that needs to interrupt all
13 these conversations, but it's my job because otherwise
14 we're going to be here all night, and we have another
15 panel. So, just one request, just please bottom-line
16 your questions and bottom-line your responses. And then
17 we can probably speed it up. But — Commissioner Olmedo?

18 COMMISSIONER OLMEDO: I — yeah, I just wanted
19 to just make a recommendation to BHE and, you know, to
20 anyone else, but BHE in this case here. A big company.
21 And, I don't understand the full scale of all your
22 brands and technologies, but I get the sense that there
23 is — that there are environmentally conscious programs
24 and directions, policies that — that the company — I

1 don't know, and I don't want to mis-characterize it,
2 but, I don't know if it's a conglomerate or company or
3 portfolio, however best describes BHE. I — I would
4 recommend that — like to see more of that. Of — I'm
5 sure it has great model, maybe we're just not hearing
6 about it.

7 UNIDENTIFIED SPEAKER: Sure.

8 COMMISSIONER OLMEDO: But, we would like to
9 see some of those models, policies, designs, and how BHE
10 is, is — because I - I feel like BHC is, maybe we just
11 don't know —

12 MR. TRUJILLO: No —

13 COMMISSIONER OLMEDO: —right?

14 MR. TRUJILLO: If, if BHE is —

15 (Pause)

16 — Entities like CalEnergy and BHE Renewables,
17 and, and other predominantly utility companies. But, at
18 the end of the day, what you're saying makes — makes
19 perfect sense and I — and I think we can certainly
20 follow up with our own sustainability goals that go
21 beyond regulation and mandates. We, you know, we're —
22 we're not only in this community, but we're in lots of
23 other communities throughout the United States and —
24 and, those are homes for us, and we want to make sure

1 that — that our sustainability goals are, are advance —
2 advancing beyond just what we need to do.

3 COMMISSIONER OLMEDO: What — would it a fair
4 assessment if, for a —

5 (INDISCERNIBLE)

6 — Warren Buffet, who is a, I don't know if
7 it's a name or a brand, or a founder, or subsidiary, I'm
8 not really sure how to characterize that.

9 MR. TRUJILLO: Yeah, so, so Berkshire Hathaway
10 Energy is, is owned by Berkshire Hathaway Incorporated.

11 (Pause)

12 — a shareholder of Berkshire Hathaway.

13 COMMISSIONER OLMEDO: So, would it be fair to
14 say that, if I understand this correctly — (OFF MIC)

15 (Pause)

16 — as well, towards climate, or other social
17 good types of programs. I don't — I don't know where
18 I—

19 MR. TRUJILLO: And, and —

20 COMMISSIONER OLMEDO: Is that correct?

21 MR. TRUJILLO: I, I guess I don't like to
22 speak for Mr. Buffet, but I — I defer to Jonathan if,
23 if, you know of a better way to say that statement. But
24 there — there is certainly a truth there.

1 COMMISSIONER OLMEDO: The reason I say that
2 is—

3 MR. TRUJILLO: Yeah.

4 (AUDIO FEEDBACK)

5 (Pause)

6 COMMISSIONER OLMEDO: — I also have that type
7 of direction, right? But beyond (INDISCERNIBLE)—

8 MR. TRUJILLO: Yeah, I mean I'll —

9 CHAIR PAZ: Not to be (INDISCERNIBLE)

10 (Laughter)

11 UNIDENTIFIED SPEAKER: But —

12 CHAIR PAZ: Okay, I'm going to start being
13 rude if we continue like this. Because this
14 conversation, like I said, you all know each other, you
15 can talk, but one—

16 COMMISSIONER WEISGALL: One word answer.

17 CHAIR PAZ: Go ahead, Jonathan Weisgall.

18 COMMISSIONER WEISGALL: Yes.

19 CHAIR PAZ: Okay. Yes, is the answer, and the
20 company will aim to follow the leader, is what I'm
21 hearing. So, now I still have Commissioners who are
22 joining us via Zoom, and I don't want to skip you. Um,
23 so, Commissioner Castaneda, are there — do you have any
24 questions from Chula Vista?

1 COMMISSIONER CASTANEDA: I do not have any
2 questions, and there is no one in the audience here at
3 the does either.

4 CHAIR PAZ: Thank you. Um, I believe this is
5 Commissioner Reynolds at the Sacramento Rosenfeld
6 Hearing Room? Do you have any comments, questions?

7 COMMISSIONER REYNOLDS: Thank you, Madam
8 Chair. I do have couple comments, or questions, and
9 I'll try to be really streamlined in my questions and
10 get to the point quickly.

11 Relating to, and I really appreciate the
12 discussion of the details of the energy production
13 process and — and the synergy and co-location of lithium
14 extraction, and I wanted to follow up on a couple of
15 points that were made in the discussion with just what I
16 hope will be fairly quick questions.

17 One is — we heard that there is a potential
18 for essentially an increase of 2,500 megawatts up to
19 3,000 megawatts of generation in the Salton Sea from the
20 current 500. And then we also heard that there's about
21 — the ratio between the — the, um, capacity needed for
22 extraction is about ha— 50/50 versus — uh, so, I think
23 it was extraction of lithium versus export and use for
24 the grid. Is that — does that ratio stay the same as —

1 so is — is the potential for grid support up to 3,000
2 megawatts, or is the potential for grid support 1,500?

3 MR. TURNER: This is Jim Turner, I'm the one
4 that mentioned the 3,000 megawatts. And, if we are able
5 to achieve that here at the Salton Sea, and if it took
6 half of that to run our lithium plants, then yes, we
7 have about 1,500 left for grid support. It is highly
8 dependent on the lithium extraction method, if — if we
9 need all that power, or if we are able to do it with
10 less. Obviously if we can do it with less, we have a
11 little bit more to put on the grid.

12 COMMISSIONER REYNOLDS: Okay, great. That's
13 helpful. And the— my next question, I think it's for
14 you to — also, Jim. The — you talked a lot, it was
15 really helpful, about the capacity factor of geothermal,
16 and what a — a great resource geothermal is to
17 compliment grid needs. I'm wondering if — and that it,
18 you know, can operate 24/7. Is there a capac— is there
19 a potential also for ramping for this resource in the
20 way that the geothermal works? So, can you vary the
21 output to meet grid needs, or is it more like a constant
22 — operating at a constant level?

23 MR. TURNER: The Salt— (OFF MIC)

24 — currently designed to operate best at a

1 constant level. They do have a little bit of ability to
2 vary that output. It's not fast like you might see in a
3 gas turbine, or in some other types of electrical power.

4 COMMISSIONER REYNOLDS: Okay, that's great.

5 Thank you, that's all I had. I really appreciate all of
6 the panelists participating today.

7 CHAIR PAZ: Thank you. Let's see. Are there
8 any questions from Commissioner Flores in the California
9 Natural Resource Agency Building?

10 COMMISSIONER FLORES: No questions from me,
11 thank you, Chair.

12 CHAIR PAZ: Thank you. Are there any
13 questions from Commissioner Dolega in Michigan?

14 (Pause)

15 Is he still there?

16 MS. PALMA-ROJAS: He was there.

17 (OFF MIC DIALOGUE)

18 CHAIR PAZ: Okay.

19 (OFF MIC DIALOGUE)

20 He's not there anymore.

21 CHAIR PAZ: Okay, thank you. We will move on to
22 the next panel. So, thank you again to our panelists.
23 And we will take public comments at the end of the
24 second panel for both — for both workshops or panels.

25 So, now I will a — thank Commissioner, was it

1 Hanks and Commissioner Ruiz, who worked on this next
2 panel, and I will hand it over to Commissioner Ruiz to
3 introduce the panel.

4 COMMISSIONER RUIZ: Thank you, Chair Paz. And
5 the workshop on Overcoming Challenges: Extraction,
6 Processing, and Production of Lithium from Geothermal
7 Brine has two sessions. We will first have a panel
8 discussion with lithium extraction project developers.
9 We will have a conversation with Jim Turner, which is
10 on, you all heard, from CTR, and Jon Trujillo from BHE
11 Renewables to help identify some of the challenges to
12 lithium extraction from geothermal brines in the Salton
13 Sea.

14 As we start this conversation, I also want to
15 recognize that the two projects are fundamentally
16 different with one planning to add lithium extraction to
17 existing facilities, and one building a new combined
18 geothermal and lithium extraction facility. So, I
19 welcome any input you can each provide about how your
20 projects face unique challenges.

21 During previous workshops, we've heard about
22 the technologies each of the facilities will be
23 developing, and perhaps we can get a — a brief update on
24 the status from each developer. And at the same time, I
25 would like to ask each of them what is their likelihood

1 of reaching commercial scales as planned for lithium
2 extraction, and provide an explanation of what the final
3 products coming from each facility will be.

4 I think we need to — we need some
5 clarification of the process — of the process —
6 especially the processing steps that are part of each
7 planned facility. Building from a — of that
8 understanding, I will also like to — to ask each of you
9 to share what are the primary risks or vulnerabilities
10 are to reaching commercial scales, and perhaps even
11 expanding beyond current plans?

12 This text — the — this — this statute asks
13 for ho— it specifically to look at technical and
14 economic challenges so that we will ask you to try to
15 address each of those areas.

16 Finally, perhaps you can each share your
17 recommendations you may have to overcome the risks and
18 challenges you are or expect to experience, and how
19 these ideas can translate into findings and
20 recommendations for the report. Um, now, uh, use your
21 time.

22 MR. TURNER: Okay, this is Jim Turner, from
23 Controlled Thermal Resources. To answer the — the first
24 area, lithium extraction basically is not something

1 that's new to the world. It's — it's new to the
2 Imperial Valley and the Salton Sea, because we haven't —
3 we haven't extracted lithium before on a commercial
4 basis.

5 But the — the techniques in which to extract
6 lithium from brine have been around for, actually for
7 decades. And — and our brine system, because we have so
8 many different types of salts, and we have dissolved
9 silica, we have to do a little bit of brine preparation
10 in order to be able to do a good, efficient job of
11 extracting enough lithium so that we can make products
12 at a — an economical cost that's reasonable, you know,
13 for having a business.

14 And, and so, one of the steps that we have to
15 do, which we've been doing it to make power ever since
16 the beginning in 1982 out here at the Salton Sea, is we
17 have to manage silica. Silica is dissolved in the hot
18 brine in the earth. When you begin to cool that brine,
19 it wants to crystallize and silica is sand. So, it
20 wants to crystallize out as a solid. And, if you're not
21 careful and if you have any kind of steel associated
22 with that brine, silica wants to locate on top of a — an
23 iron atom, and make a compound called an iron silicate,
24 which is really hard and it'll clog up your pipes just

1 like if you have a lot of hard water and you see your
2 pipes over the years get smaller and smaller and
3 smaller. The same thing will happen with silica, but it
4 happens much faster.

5 So, we manage the silica. We've been doing it
6 for years out there. The guys in the early days in the
7 1980's developed a real good process for doing that, and
8 it's been used successfully ever since. All the plants
9 do that. There is another method to control silica, it
10 has a — a negative impact in that you, you end up
11 putting hotter brine back into the ground, so you —
12 you're putting BTU's back in that, if you extract the
13 silica and manage it you can use it to make electricity.
14 So, that's the first step that all of us typically are
15 looking at, is to do some conditioning of that brine to
16 get it in shape to do a good job of actually extracting
17 the lithium. Then, the key is, can you go in there and
18 just grab lithium and not have anything else go with it.
19 Fundamentally, and ideally, that's what you want to do.
20 Chemically it's very hard to do that.

21 We have a lot of sodium in our brine, sodium
22 chloride. That's table salt. We have about six percent
23 of that brine in that round numbers is table salt. We
24 have a lot of calcium chloride. If you lived up north
25 in Michigan like I did when I worked for DOW chemical

1 for 20 years, we put calcium chloride on the pavement to
2 melt snow. It looks like table salt, tastes a little
3 different.

4 We have a lot of potassium chloride in this
5 brine. Matter of fact, we have so much potassium in our
6 brine that if it was extracted and turned into
7 agricultural fertilizer products, we could probably do a
8 pretty good job of satisfying the California demand.

9 And, and — but, when you go in there and reach
10 in and try to extract lithium, you tend to pull a little
11 bit of the calcium, a little bit of the lithiu— or the
12 potassium, a little bit of the sodium along with it.
13 And so, when you're all done, you have a water solution
14 that has the lithium in it, but it has some of these
15 other atoms in there so there — they become contaminants
16 that you eventually need to clean up before you can make
17 your — your batter grade lithium product.

18 And, once you have that lithium out and that
19 water solution, and we all end up basically with the
20 same water solution, then it's a matter of — of which
21 direction you want to go to make the lithium product
22 that you're selling to your off-taker.

23 So, the two most prominent lithium products
24 are called lithium-hydroxide, and the other one is

1 lithium-carbonate. And we tend to group 'em all
2 together, and you probably have seen the acronym LCE,
3 that's lithium carbonate-equivalent. Well, it includes
4 a whole body of lithium compounds like hydroxide, like
5 lithium carbonate, like lithium hexafluorophosphate, and
6 I mean it's just a whole bunch of them in here, because
7 they all contain lithium.

8 Well depending on what the battery maker
9 wants, which usually is dictated by the car maker for —
10 for those kind of batteries, you're going to make one of
11 those products. And, I think we're all — all three
12 developers out here are trying to make battery-grade
13 material. Battery-grade material is nominally 99.5
14 percent pure lithium carbonate in water, or pure lithium
15 hydroxide in water. And then, you sell it to a — a
16 battery maker. They make the cathode into the battery.
17 And —and — and they mix it with other chemicals for the
18 formulation for that battery.

19 And so, you might have a process that makes
20 carbonate and it does step one, two, three. You might
21 have a process that makes hydroxide, and maybe it only
22 has step one, but it — then it has step four. So,
23 depending on the chemical process — and there's a
24 handful of different ways to get to those endpoints —

1 you choose one that works, that you feel comfortable
2 with and you think you can get the highest yield for the
3 lithium that's in the brine to the lithium in your
4 ultimate product your ultimate product out here. And —
5 and you make it, dry it out, put it in a bag, load it on
6 a truck, and off it goes to a battery maker.

7 So that's — that's kind of the process. And,
8 it looks simple, when you're all done and it's running,
9 you probably look at it and you say yeah, that was
10 simple, but it — it's like any chemical process, it
11 takes a lot of hard work. You have really good
12 engineers, really good scientists and other people, and
13 — and they look at how they can combine each of these
14 little pieces. And we call them unit operations in the
15 chemical industry. Combine those unit operations
16 together to get your end product at a cost that you can
17 then sell it, make a little money, obviously, because
18 we're all in here to make money, and then go off to, you
19 know, the next product that you might want to make.

20 That's what you — I think you had in your —
21 your question there, that you called that pre-treatment
22 on the front end. Treatment, in the environmental
23 world, is a kind of a negative word to use. So, we're
24 not really treating, because it carries some issues

1 associated with the 1984 Resource Conservation and
2 Recovery Act in the environmental world. So, what —
3 what we're all doing is, we're conditioning that brine.
4 We want to make it in the best shape we can so that when
5 we do the actual extraction, we get the purest form of,
6 say, lithium chloride in solution.

7 Let's see. What was the next one here you
8 had? Primary risks to reach commercial scale.
9 Excellent question, it's probably the one that keeps a
10 lot of us up at night, is choosing the right partners.
11 Extremely important, whether they're financial partners,
12 technology partners, construction partners, choosing the
13 right ones.

14 You, you — you got one really good shot at the
15 apple on your first project, you want to make it a
16 winner. You want the right partners out there. And,
17 and so, we, and I'm sure BHE and I know EnergySource, we
18 — we're all pretty particular who those partners are.
19 We want good partners.

20 I don't think, personally, that there's much
21 in the way of technology risks. And that's probably
22 because I spent 20 years at DOW chemical, and have
23 pretty good background in, you know, building and
24 operating plants. But, that doesn't mean the financial
25 community feels the same way.

1 They tend to look at the old style of making
2 lithium products for batteries, which you see out of
3 Australia. Those are big open pit mines, they actually
4 produce an ore. They ship the ore to China, that —
5 China then takes out the lithium, I'm not sure what they
6 do with the other part of the ore, because the lithium
7 is only about five percent, so there's out of every
8 hundred tons, there's 95 tons that gets put someplace.
9 Then they refine that ore, much through the same type of
10 processes that we do in the back end after we extract
11 the lithium.

12 Down in Argentina and Chile, they have the
13 real old way of separating out salts. So, what they do,
14 is they — they bring up the salt in a salty water out of
15 the earth, and they put it into these gigantic
16 evaporation ponds. These are 10,000 acre ponds, huge.
17 And — and they let the sunlight and the temperature
18 evaporate water.

19 And when you evaporate water out of a mixture
20 of different types of salts, you separate out the salt,
21 you might get sodium chloride first, and you scrape it
22 off. You might get potassium chloride, and you scrape
23 it off — other salts. You finally get lithium chloride,
24 and you scrape that off. Then they t— then they re-do

1 it again, and finally they get a pretty cure— pure form
2 of lithium chloride salt, and it looks like table salt.
3 And then they refine that, and then they go through the
4 same back-end processes that we all are probably going
5 to end up with here to make your final battery-grade
6 product.

7 But Argentina and Chile use a tremendous
8 amount of water, in order to be able to make their
9 products. To the extent that they are lowering the
10 water table in the Atacama Desert. And then, they have
11 some pretty significant political issues in those two
12 countries for a lot of things. But, one of them is
13 exporting lithium. They're starting to really tax the
14 heck out of every ton of lithium that goes out, to the
15 point where it, at some point will make them — make it
16 hard for them to compete.

17 But typically, they don't make battery-grade
18 there. They'll go part-way, and then they ship that
19 product over to Asia, and — and it's finished there and
20 then it's shipped to wherever the battery makers are and
21 the auto manufacturers.

22 So, in our case, I think all of us are really
23 aimed at making battery-grade material right here.
24 Right here in the US. My feeling is it'll all be sold
25 in the US. I don't see us really competing amongst the

1 three of us. If we could make all the battery-grade
2 lithium stuff that the Salton Sea would offer, we'd sell
3 it all right here in the United States. And we'd
4 probably be helping each other ship it out, just to, you
5 know, move it out of the way.

6 Let's see. Technical and economic challenges,
7 reco— recommended — recommendations for the
8 legislature. My recommendation, based on the 48 years
9 I've been out here working — and I'm actually an old guy
10 here — is, California wants to establish a tax on the
11 production of lithium. And — and that's fine, because
12 we — we tax in every state, minerals, oil and gas, et
13 cetera with a reasonable tax. And — and I — and I'm
14 supportive of doing it here. Mainly, because a lot of
15 that money is going to come right back here to the
16 community. You know, if we had our way, and I'm sure
17 BHE and EnergySource would be the same way, of 100
18 percent would come back here. I mean, we'd just stand
19 up and be counted for that.

20 But a good portion's going to come back. So,
21 my recommendation is to the — to the state, is make it a
22 percentage of gross revenues. Because, if you make it
23 an absolute number, which is a concept that's being
24 bandied about at the state level, that hurts the little

1 guy in favor of the big guy. And so, it's much the same
2 as our personal income taxes. If we had a flat tax,
3 then the guy making a lot of money isn't hurt as much as
4 the guy making a little money.

5 So, my recommendation to the state is, yeah,
6 just have a tax, but let's have a percentage, and we can
7 argue about what that number is for percentage, but
8 let's have a percentage on gross revenues. Then — then,
9 the tax is proportional to the amount of money that's
10 made, and it looks like virtually every other state in
11 the nation — it then is similar to how we pay royalties
12 to landowners, et cetera. Because, I think it's just a
13 much more fair way to do that for the developers.

14 And — and if we're not careful, we can drive
15 away development. And if we drive away development,
16 we're driving away jobs from the Imperial Valley, and
17 the vast majority of the jobs operating and maintaining
18 these plants, those people already live here in Imperial
19 Valley, and those are the people who are going to fill
20 those jobs. I would venture to guess it'll be much more
21 than 95 percent of those jobs will be filled with people
22 right here.

23 And if you look at these geothermal plants,
24 you'll see that. The successful operators and
25 maintenance people are homegrown. We've seen that for

1 years. I don't think that's going to change, that they
2 make the best workers. So, we want jobs here, we want
3 to attract business here that doesn't otherwise have to
4 locate, and like a battery manufacturer, that — that
5 would be tremendous. But, we need to make sure we have
6 those incentives lined up the best, so that they're here
7 and they're not in Tennessee.

8 Did I miss any?

9 Jon, it's up to you.

10 MR. TRUJILLO: Oh, alright. Well Jim, thank
11 you. Okay. I — I, I will aim to be quick, and thank
12 you for that, I was trying to take those same notes.

13 I do want to go back to one question that Jim
14 had talked about, the iron-silicates, and the— and all
15 the pre-treatment. And, it also comes back to Luis'
16 question earlier about waste. Is — is I do want to
17 recognize within geothermal process in the Imperial
18 Valley, and specifically the power plants in the Salton
19 Sea, there's a thing called filter-cake, and it's a non-
20 hazardous iron-silicate that Jim described very
21 eloquently.

22 It — it is the key to making that resource
23 renewable and sustainable. And it's odd to — to hear
24 that, and even to say it, that — that because of that

1 one minor waste-stream, that we're able to sustain and
2 maintain those injection wells to keep this process
3 cycling over and over again so that fluid and that brine
4 is able to be reheated and reproduced and power our
5 homes on a — on a — a long-term, 40-year basis so far
6 on our proven record, and we're looking to, you know, at
7 least doubling that 40-year record.

8 So, it is, and it's a very minor component,
9 it's not even a fraction of one percent when it comes
10 down to it, when you look at the brine — but it is — it
11 is an important waste stream that allows us to stay
12 sustainable.

13 As far as lithium, we are in process of
14 determining if — if our technology is commercially fe—
15 commercially — commercially feasible through our
16 demonstration facilities. That's — that's certainly not
17 complete. We do have a demonstration facility for
18 recovering and capturing lithium from the geothermal
19 brine that's been constructed, and — and the next phase
20 of that is, is what Jil— Jim and uh, covered quite well
21 is, is capture. And then taking that captured lithium
22 product and developing a battery-grade product that's —
23 that's sellable. And then, at that point, we'll
24 evaluate the — the both the technical challenges as well

1 as the commercial challenges.

2 The — I guess there is — when I — I guess I
3 do want to hit on a question that was sent out to me
4 earlier, but may not have been mentioned here is — is
5 the infrastructure. And that's where — where we see a
6 lot of benefits to the community as well as our
7 facilities is — these facilities are going to increase
8 the workforce, they're going to increase a lot of — lot
9 of — a lot of activity in the area. And so that, you
10 know, it does come down to simple things like roads,
11 bridges, broadband, emergency services, schools, and
12 even public transport.

13 And so, as the — as the growth of the
14 community increases through these projects, I, I see
15 those as both needs for these projects but also benefits
16 to the community there.

17 When it comes to — when it comes to
18 recommendations. I would have to say that, that — what,
19 you know what, let me jump back to the technical and
20 economic challenges, and I'm going to hit a pretty broad
21 one here, but it's — it is certainly an effect on, on us
22 and everybody, is supply chain issues, right now.
23 Inflation, all of these aspects, when you're a
24 developer, change the economics of the whole situation.

1 So, a — it's not only, you know, the cost of equipment
2 and cost of metals and materials, it's how long is it
3 going to take for them to get here. Will it arrive on
4 time so that we can meet our contracts, so we can
5 deliver power on time, so if we can deliver lithium on
6 time.

7 So, those are challenges that are not unique
8 to us, but they are challenges that I want to make sure
9 that we — we all understand and probably feel in our
10 pocket book, 'cause I filled up my diesel, it's seven
11 dollars a gallon before this. (Laughter). It's
12 painful. So, we're not immune to those.

13 So, I — I do want to just make sure that
14 everybody's aware of that. As recommendations, buy —
15 buy California provision. If something that promotes
16 the idea of — of manufacturing EV batteries and
17 batteries for energy storage from lithium that comes
18 from California, and hopefully those batteries are
19 manufactured in California as well. But, I — I, that's
20 a — that's certainly a recommendation I, I see, and we
21 see, as BHE that would — that would be something to, to
22 take back for. So. Hope that covered the eight
23 minutes.

24 CHAIR PAZ: You did great

1 MR. TRUJILLO: Thanks.

2 (Pause)

3 CHAIR PAZ: So, there is a second session to
4 this workshop, and now that Commissioner Hanks can
5 introduce (INDISCERNIBLE).

6 COMMISSIONER HANKS: Second session of this
7 workshop is (INDISCERNIBLE) presentation from another
8 party, and it's on Economic Challenges and Solutions
9 Lithium Extraction, Geothermal Brines in the Salton Sea
10 Region.

11 I would like to introduce Professor Michael
12 McKibben, from the University of California, Riverside,
13 who will provide an overview of his research on this
14 topic. Tina Shields, from the IID, who will discuss the
15 IID's water supply. And, Abby Rodriguez, Sparkz, with
16 its perspective of supply chain considerations related
17 to the lithium battery production industry.

18 (Pause)

19 MR. MCKIBBEN: Thank you. Good afternoon,
20 everyone. I'll wait till they get the slides up.

21 (Pause)

22 Next slide.

23 (Pause)

24 So, thank you. I was asked to assess
25 challenges and solutions to geothermal lithium recovery.

1 Next slide, please.

2 So, the technology that's being proposed on
3 the Salton Sea brines is direct lithium extraction.
4 That's the selective removal of lithium using a variety
5 of engineered materials. And most of those are now
6 focused on lithium adsorption and desorption onto
7 fabricated micro or nanomaterials.

8 Someone mentioned earlier, this is not tech—
9 new technology. That's correct, it was developed back
10 in the 80's by DOW chemical, and it was commercialized
11 in the 1990's by FMC for use the on the Salar lithium
12 brines in Argentina.

13 For these materials, the ratio of lithium to
14 other cations that get deposited onto them defines the
15 extraction efficiency and the initial purity of the
16 lithium process. In the Salton Sea brines, manganese,
17 calcium, and magnesium are the most problematic
18 interfering cations for this technology.

19 It's also been mentioned previously that
20 avoiding precipitation of silica and iron compounds is
21 important. Not just to clean up the brine, but you also
22 don't want those to precipitate on the adsorbents,
23 because that will block them from taking the lithium out
24 of the brine.

25 So, brine clarification and avoiding further

1 cleaning of the brine is very important, and this issue
2 plagued early efforts to development the Salton Sea
3 geothermal field, and extract metals, even before the
4 reactor clarifier technology that's now used was
5 perfected.

6 These adsorbents are very efficient. In fact,
7 the efficiency is higher at high temperatures and higher
8 lithium concentrations, so that favors their use on
9 geothermal brines, and some of these adsorbents remove
10 over 90 percent of the lithium in the brine in one pass,
11 so very quickly.

12 Next slide, please.

13 So, right now there are three types of
14 adsorbent materials that are in common use. Aluminum,
15 manganese, and titanium oxides. The one I'm most
16 familiar with is the one I've been working with in a
17 research collaboration, and that's hydrogen and titanium
18 trioxide. But basically, you load up this adsorbent
19 material with proton ions in the holes that lithium
20 likes to go into, and then you expose that adsorbent to
21 the brine flow, and the lithium swaps in for the
22 protons, and then you remove that adsorbent, wash it,
23 and then you elute the lithium out of the adsorbent,
24 usually by running it through hydrochloric acid.

25 That produces a lithium chloride solution.

1 And then, you want to produce a product, lithium
2 hydroxide monohydrate, or lithium carbonate, and you can
3 run that through different kinds of processes to produce
4 those products. One possibility is electric dialysis,
5 which is nice because it keeps the magnesium out, but
6 it's also uses more electricity than some of the other
7 methods.

8 So, the way that these are put into practice,
9 is these adsorbent particles are placed into a larger
10 porous materials. Either a ceramic bead, or a pellet.
11 And these are things that can be packed into reactors
12 and then exposed to very high brine flow rates, and then
13 washed and eluted to release the lithium ions.

14 So, not everybody — not every company has
15 talked about exactly what material they're using, but,
16 for example, Controlled Thermal Resources has said that
17 they will be using Lilac Solutions and that off the
18 shelf product, and that's a manganese oxide bead
19 technology. So, they create these very small particles
20 of manganese oxide, and then put those in these porous
21 ceramic beads and it's very easy to pack those beads and
22 remove them and wash them, and recycle them. And, I
23 have some references there, if you want to look these
24 techniques.

25 Next slide.

1 So, the technological challenges in applying
2 this to the Salton Sea brines are many-fold. Removing
3 the interfering cations and preventing the silica and
4 iron precipitation, that's already been mentioned. You
5 need to keep the brines from exposure to air, because
6 oxidation enhances the precipitation of iron, in
7 particular. There are questions about how stable the
8 adsorbents are at high temperature and the pH values of
9 these brines, and so how many cycles can you put them
10 through before they get worn out. You need to wash and
11 elute the, the beads or pellets, or strip them of the
12 lithium. SO, what are the reagent costs and the
13 reconstitution costs for water and acids.

14 What water are you going to use for these
15 processes? And that's, obviously, of great concern in
16 the Imperial Valley. Is it going to be canal water from
17 IID, is it going to be shallow well water, is it going
18 to be self-supplied steam condensate from the plants
19 themselves, or are you going to use reverse osmosis and
20 desalinization methods to produce water.

21 And then, is it that — been alluded to by Jim
22 and Jon, the process you use for converting that lithium
23 chloride to the carbonate or the hydroxide form,
24 dictates the amount of energy that you're going to use
25 and some of the reagents you're going to use, so the

1 cost of that.

2 And then, the biggest challenge for the
3 companies, and they're all going through this now, is
4 scaling all of this up. And pilots or demonstrations
5 plants are critical, and so I thought I'd give you one
6 example of this problem from the zinc plant that they
7 tried to make in 19— in 2003.

8 So, they got very good results on the lab
9 bench scale for zinc recovery, they got more than 80
10 percent zinc recovery on their lab bench studies. And
11 then they build a full-scale plant based on those
12 studies. Unfortunately, in the lab bench, the brine was
13 in full contact with a resin, and therefore taking out
14 as much of the zinc as it could on a small lab bench
15 scale resin column. But, when they scaled these up to
16 columns the size of half this room, then you got
17 channelized flow through those columns, and you didn't
18 get full contact with the brine with the resin, and so
19 their zinc recovery dropped to below 20 percent.

20 They also came on the market at the time when
21 the zinc price was dropping dramatically, and so that,
22 that really, — among many other problems, caused failure
23 of that plant. And so, the solution to that particular
24 problem is to use a reactor that maximizes brine-
25 adsorbent contact, and that's — would be a — a

1 fluidized bed reactor, or a fluidized expanding bed
2 reactor.

3 So, next slide, please.

4 This is why pilot plants, or demonstration
5 plants are so important, that you make sure you can
6 scale this up and it's going to work at full scale. So,
7 there's one example, Berkshire Hathaway Ener— Berkshire
8 Hathaway Energy Renewables has buil— is building a one
9 tenth scale commercial plant to make sure everything's
10 going to work before they go to full scale.

11 Next slide.

12 There are a lot of economic challenges, and
13 it's already been alluded, a lot of the lithium
14 production in the world comes from South America, Chile
15 and Argentina in particular, and Australia. And, and
16 the main competitors, in terms of cost, are going to be
17 the South American brine operations.

18 So, these salt flat, or Salar producers have
19 some advantages. Their labor is inexpensive, they're
20 using free sunlight energy to do the concentration work.
21 But, some of them are using and or going to switch to
22 DLE, as the technology to process more brine more
23 quickly, and not put these huge ponds out on the surface
24 that you can see from space. And that wastes far less
25 water and land but uses a lot more electricity.

1 Their disadvantages are, it takes one to two
2 years for this evaporation process to produce a lithium
3 product, versus days for a direct lithium extraction.
4 There are a lot of infrastructure issues with these
5 Salar deposits, because they're up in the Andes at
6 elevations as high as, as 10,000 meters. And so, having
7 roads and power at these remote Andean locations can be
8 a great problem. That's one reason the Bolivian Solars
9 have never been developed, but in part it's because of
10 infrastructure issues.

11 And then they are experiencing growing local
12 and environmental backlashes over water use and the
13 footprint of these, these huge ponds, which are draining
14 the nearby lagoons and affecting the flamingos, which
15 are the major tourist attraction of these countries.
16 And finally, the governments of Chile and Mexico, for
17 example, have threatened, or are actively nationalizing
18 the lithium production, and that's a big threat to a lot
19 of foreign owned and partnership production in these
20 countries.

21 Next slide.

22 So right now, a direct lithium extraction from
23 geothermal brine is projected to stay competitive with
24 salar brine production. So that figure on the right, I
25 — I know it's hard to read in the audience here, that

1 shows the cost of producing lithium carbonate in
2 thousands of dollars per ton. And on the left are the
3 salar brine marginal costs. And in the middle on the
4 right are, are the hard-rock open pit mines in
5 Australia, which are the most expensive.

6 But, you can see that the geothermal cost
7 estimates for — which is that band across the diagram in
8 the middle, are competitive right now with Salar costs,
9 which are the lowest costs in terms of thousands of
10 dollars per ton. Another DLE application is to oil
11 field brines, and we see that going on in Alberta and
12 Arkansas right now. And those, those operating expenses
13 are, are comparable to DLE for geothermal. So, it's a
14 four to five thousand dollars per ton of LCE produced.
15 So, all these DLE operations, whether they're geothermal
16 brines or oilfield brines, look like they're going to be
17 competitive favorably with the Salar deposits in South
18 America.

19 What could help geothermal, would be using
20 self-supplied electricity from the parasitic load of
21 either existing power plants or newly build power
22 plants. And with self-supplied thermal energy, there's
23 a lot of waste heat, particularly out of the old plants
24 down here, that could be harvested with some minor work
25 done on them. They could supply their own water from

1 the steam condensate, and finally, they could produce
2 co-products that would improve the economics. So, the
3 next slide will sort of summarize some of the co-product
4 issues.

5 So, additional strategic commodities that
6 could be generated from these brines, besides lithium,
7 would be manganese, zinc, potassium, strontium, and
8 rubidium. I've shown there — column formatting's a
9 little bit off on this — the main use for all of them.
10 And then, the import reliance in the US for most of them
11 is extremely high, and many of them are 100 percent, so
12 we don't produce any domestically.

13 And finally, the import sources include
14 countries that we don't always have friendly
15 relationships with, and I've highlighted those in red.
16 And then finally, the US government provides the US
17 depletion allowance, which is a tax deduction from the
18 gross income to stimulate production of these materials
19 within the United States. So, there's a lot of
20 advantages of producing these co-products from the
21 Salton Sea geothermal brines that could be taken
22 advantage of.

23 Next slide, please.

24 (Pause)

25 What actions could make geothermal DLE non-

1 competitive? This has already been alluded to. But, a
2 flat tax could have the result of making geothermal DLE
3 marginal costs higher than Salar brines. And it could
4 raise geothermal DLE costs closer to parity with hard
5 rock mine marginal costs. And that would be bad, that
6 would make geothermal less competitive as a source of
7 lithium in these other metals. And states have made
8 mistakes in the past of assessing taxes that are too
9 high on minerals production without too much thought
10 going into them.

11 So, Minnesota did this late in the 20th
12 century on their iron mining, and basically the mines
13 closed and Brazil and Australia took over the iron
14 market around the world. British Columbia raised their
15 mining severance taxes so high in 1975 that mo— a lot of
16 the mining companies left for Alaska and the Yukon. So,
17 states need to be really careful in applying these taxes
18 to commodities. Particularly, when they're trying to
19 get developed and get off the ground.

20 Next slide.

21 There are some reservoir limits on how much
22 lithium can be produced annually on the field down here,
23 and that's determined by the brine production rate and
24 the recovery efficiency. So, if we take the current
25 field, which is producing about 400 megawatts, and we

1 take the annual produced brine, which is shown on the
2 chart on the left over the last decade, we know the
3 average lithium content of those brines is about 200
4 ppm. And so, if you assume a reasonable recovery
5 efficiency for lithium — that's been achieved at least
6 on the lab scale of 90 percent — then you're looking at
7 about 115 tons of lithium carbonate per year for a field
8 that's operating at 400 megawatts electric.

9 Next slide, please.

10 So, let's scale that up, along with the
11 geothermal operators plans for expanding the geothermal
12 field. So that's 288 tons per year of lithium carbonate
13 per megawatt. So, if we look at what the companies have
14 announced, Berkshire Hathaway ha— currently has 345,
15 they're said they're going to add another 395. Energy
16 Source Minerals looks like they're going to stay at 60.
17 Controlled Thermal Resources, and Jim will correct me,
18 but I believe has announced right now two stages. One
19 at 50 megawatts, and stage two at 260.

20 So, I added all those up, and that's 320
21 thousand metric tons of lithium per year recoverable at
22 that amount, slightly over a thousand megawatts. That's
23 60 percent of global lithium production, so it's a
24 significant amount of lithium. If the field eventually
25 scales up to two gigawatts or three gigawatts, I've

1 included the numbers there, and those would totally
2 dominate global production.

3 Next slide.

4 How long will the lithium production last?

5 Well, we know the field's already been going for 40
6 years, it's a very long-live field. I've presented to
7 the Commission before my estimates of the reserves of
8 lithium in the reservoir, and they range from five to 32
9 million metric tons of lithium. We can be half
10 optimistic if you want today, but we're looking at 50
11 years of production.

12 We need a more sophisticated reserve and
13 depletion estimates for the reservoir, because, as was
14 mentioned earlier, you're going to be pulling lithium
15 out, and that's going to eventually dilute the ris—
16 reservoir and lithium. But, some of the lithium
17 depleted brine that is reinjected might pick up more
18 lithium, just like it picks up more heat when it's
19 reinjected, and that might build the concentrations back
20 up. So, we need a better reservoir model to kind of
21 refine these numbers.

22 But, one solution would be to try to reinject
23 the spent brines into the rocks that we think the
24 lithium's coming from to make sure it gets replenished.

25 But, that's not always feasible, because sometimes you —

1 you have to reinject where the well permeability exists,
2 and that's independent of the lithology.

3 Next slide.

4 Well, the market challenges are due to lithium
5 supply and demand, and I'm sure you're all aware of how
6 volatile the price of lithium has been over the last
7 year. That's largely a result of the world responding
8 to pandemics and wars, and those effects on lithium and
9 nickel and cobalt supplies, which are the main battery
10 components. The cost of energy, and then sales trends
11 for electric vehicles and storage batteries.

12 And, just a few weeks ago, Goldman— Goldman
13 Sachs really upset the lithium market by announcing that
14 the price had reached its peak and was going to come
15 down for quite a while. Benchmark Minerals, Bloomberg,
16 and S&P disagree with that assessment, and — and, I
17 think it's pretty clear that the pricing's going to be
18 volatile for a while, and there might be some temporary
19 over supply and temporary price decline, but over the
20 long haul, the market will become more stable,
21 particularly as the winners in this production cost bell
22 appear and globa— global decarbonation trends take over
23 — decarbonization trends take over.

24 I think the winners in — in the — the price

1 battle are going to be the Salar producers, especially
2 those who are going to switch to DLE instead of
3 evaporation ponds. And the DLE from geothermal and oil
4 filled brines, and eventually hard rock mines will
5 become too expensive and too environmentally deleterious
6 to justify their continued production of lithium.

7 Next slide.

8 So, this is the forecast for the sales of
9 internal combustion automobiles in green, and electric
10 vehicles in, the — sorry, blue for the internal
11 combustion engines and then green for electric vehicles.
12 And all the projections are for the sales for electric
13 vehicles to — to start taking over the market for the
14 rest of the century.

15 So, I think Imperial Valley should focus on
16 the long-term gain and not worry about short-term
17 volatility and lithium prices. DLE is clearly going to
18 be the future for supplying electric vehicles.
19 Recovering these co-products could be very important,
20 and then integrating battery manufacturing and
21 recycling, I would emphasize into the region, I think
22 would be very important. Not just for environment
23 reasons and getting us off of fossil fuels, but also
24 jobs and — and the future of — of the county.

25 Next slide.

1 So, the Salton Sea geothermal field lithium
2 produces could really finish coming to full scale at the
3 right moment, the late 2020's. Most of the forecast for
4 demand for lithium and the balance in the market are
5 suggesting that in the latter half of the decade that
6 the demand is really going to start to exceed supply and
7 that's about when most of these will come up to full
8 scale operation, I believe.

9 Next slide.

10 Here's what worries me. The impact of air
11 quality and asthma problems on the potential for a
12 lithium revolution in the Imperial Valley. I guess my
13 time's up. This is my last slide.

14 CHAIR PAZ: (INDISCERNIBLE) eight minute mark.

15 MR. MCKIBBEN: This is my last slide. Health
16 issues related to the sea drying up need to be tackled
17 successfully, if economic prosperity for the workforce
18 and the communities is going to be realized. In
19 particular, we now know there's a bacterial component in
20 the bio-dust that seems to be causing the asthma. And
21 so, trying to mitigate that should rally parallel the
22 Lithium Valley development efforts. Because, people
23 want to work in an area where they're going to be
24 healthy and they're not going to get asthma. And so,
25 with apologies to Kevin Costner and Field of Dreams,

1 but, I'll caution if you build it, they may not come, if
2 you resolve those health issues.

3 So, thank you.

4 COMMISSIONER HANKS: The — our next speaker is
5 Tina Shields, with the IID.

6 (Pause)

7 CHAIR PAZ: A reminder for speakers were asked
8 to keep their presentations to eight minutes. That's I
9 give wrapped up in to what you're saying, but I lose
10 track of the time itself. So, please try to be more
11 attentive to the minutes. Tina?

12 (Pause)

13 UNIDENTIFIED SPEAKER: Looks like she's—

14 MS. SHIELDS: Hi. Can you all hear me?

15 UNIDENTIFIED SPEAKER: Yeah.

16 UNIDENTIFIED SPEAKER: Yes.

17 MS. SHIELDS: Okay, I'm having a really
18 challenging time hearing your conversation, so I'm going
19 to jump right in and share my screen. Give me one
20 second here, I'm travelling and not in my office so this
21 is more — a little more challenging than normal.

22 (Pause)

23 Okay, are you able to see the screen now?

24 CHAIR PAZ: Yes.

25 MS. SHIELDS: Hi. My name is Tina Shields,

1 and I am one of the water department managers at
2 Imperial Irrigation District. I was asked to speak to
3 you on the status of the Colorado River, and I wishing I
4 had better conditions to report to you, or frankly that
5 the conversation was current a week ago. Because, we've
6 had a lot of near-term information shared with the
7 district recently about the status of the Colorado
8 River. So, I'm going to try and update you all on that
9 and talk about some of our policies.

10 So, just a broad overview of the Colorado
11 River. The river starts up in Colorado and Wyoming and
12 travels through seven different states. IID is a bit of
13 a nuanced perspective, because we contribute no water
14 supply to the basin. Most of the snowpack and runoff
15 occurs in the upper basin and some side tributaries.
16 So, it's a little interesting perspective given our
17 large water rights and senior water rights.

18 The basin as a whole is divided in to two
19 systems with the middle point being Lee's Ferry. In the
20 upper basin, there are the states of Colorado, New
21 Mexico, Utah, and Wyoming, and in the lower basin we
22 have Arizona, California, and Nevada, as well as Mexico.

23 This river serves broad populations and uses,
24 including over 4 million acres of farmland, over 30
25 million people are served by the multiple Indian Tribes

1 and environment uses, as well as hydrogeneration
2 facilities that serve as low cost power for more than 3
3 million people.

4 But, the Colorado River system is very
5 challenged. It's a very impressive system. From a
6 storage standpoint, it has over 60 million acre feet of
7 capacity, which has allowed the water agencies to have
8 generally full supplies until the last couple years.
9 Despite a 20-year record breaking drought.

10 Unfortunately, those supplies have been taken
11 off the system throughout that 20 years, and the
12 reservoir elevations have been dropping. And now, the
13 system is at only about 35 percent of capacity. And
14 I'll talk about some new challenges we've recently
15 become aware of.

16 When the system was allocated back in the day,
17 the original yield was thought to be about 17 and a half
18 million acre feet, and that formed the basis for the
19 entitlements for the upper and lower basin each of 7.5
20 million acre feet, and another 1.5 million acre feet for
21 the country of Mexico. The challenge is the hydrology
22 has been decreasing. At one point, it was thought to be
23 about 15 million acre feet, but in the last 20 years,
24 the system has averaged less than 10 million acre feet a
25 year. And the period of record we now use for modeling

1 is 20 years of drought.

2 So, this a graphic trying to illustrate on a
3 visual basis what the allocations are between the
4 states, and in particular, IID's share. You can see
5 California has an annual entitlement to 4.4 million acre
6 feet, and IID's share is capped at 3.1 million acre feet
7 under the terms of a 2003 settlement agreement. So,
8 it's a very significant supply, and encompasses over 70
9 percent of California's share of the Colorado River, as
10 well as IID being the single largest contractor on the
11 river.

12 The challenge we have is the hydrology. So,
13 this is the hydrograph for the calendar year 2022, and
14 the black line is the 20-year average. The red line was
15 last year, which is the second worst hydrology year on
16 record as far as the water that actually makes it
17 physically into Lake Powell resulting from the runoff
18 from the snowpack, as well as the tributaries.

19 The blue line is this most recent calendar
20 year, that is closing — closing to an end from a water
21 cycle perspective. You'll see from the graph, the peak
22 water period is usually April 1st. That happened much
23 sooner this year, and when you see peaks occur sooner,
24 you often get less runoff to the system.

25 The challenge we saw this calendar year was we

1 peaked in December. We had an awesome month with snow,
2 and everybody thought this was going to be the year,
3 even if we didn't break out of the 20-year drought, that
4 we at least got some significant relief and saw the
5 reservoirs increase. Unfortunately, after December,
6 there was no snowpack, no new additions of snow fall, no
7 new additional rain events that added any significant
8 volume. So, the system essentially plateaued out when
9 we should have seen a dramatic increase, and that rise
10 should have gone and peaked above, probably 16 million
11 acre feet.

12 Instead, we were very lucky to get an almost
13 normal year, but if you'll see from these numbers, the
14 water that actually made it into the system was only
15 about 62 percent of average, or less than 6 million acre
16 feet. And when you see these types of numbers, it just
17 continues to push the reservoir elevations down in Lake
18 Powell and Lake Mead.

19 It's very challenging. We think this is
20 related to climate change. We think that the water is
21 actually going into the soil profile, given the drought
22 that has occurred for so many years, it just essentially
23 sucks it up or evaporates on the way down the system.

24 So, this is a chart that shows the annual
25 inflow from the snowmelt into Lake Powell from 1964 on,

1 that's when a lot of the more local records have been
2 kept. You'll see that the average for 20 years is about
3 9.6 million, vastly lower than the 17.5 million acre
4 feet that the entitlement prorations were based off of
5 back when this system was divvied up between the states.
6 And you'll see that 2021 blue bar that was the second
7 lowest on record, second only to 2002, which was right
8 in the midst of the, the declining hydrology cycle.

9 The green bar indicates what we're hoping for
10 this year to be, it's the most probable circumstance,
11 but at this point it's only a 62 percent inflow year.
12 Which, again, just continues to put pressure on the
13 existing reservoir elevations and drops them lower.
14 These low percentages are very challenging, because the
15 lower basin entitlement is 7.5 million acre feet, so you
16 don't even have enough water going into the system to
17 feed one of the basins, let alone two of them.

18 So, this is what's called a key-cup diagram,
19 and it's sort of a simplistic way of looking at the
20 reservoir. I think one of the important things you can
21 note from the shape, is that as the reservoirs decline,
22 they're much smaller due to the trapezoidal shape at the
23 bottom. And so, they tend to drop quicker and faster as
24 the elevation goes down. When the elevations are
25 higher, about one foot of elevation equals about 100

1 thousand acre feet of water, but now that they're down
2 lower, you're probably talking less than 80 thousand
3 acre feet for every foot of water. So, things happen
4 very quickly, and that's the challenge we've seen the
5 last year or two.

6 But in, in 1999, the system was full. We were
7 contemplating flood control releases, because we were
8 worried that the snow runoff would overtop the system,
9 and we were developing surplus criteria about how to
10 share all of the excess water. The reservoirs were
11 close to brim, I don't think you could get much better
12 than this, and boy wouldn't we love to see this
13 condition now.

14 Unfortunately, this is where we're at today.
15 The reservoir elevation has dropped significantly. We
16 see that they're less than 30 percent in most cases.
17 And the way the reservoirs operate, is they have
18 balancing criteria, which means if one reservoir gets
19 high and another is low, reduced — releases are reduced,
20 which is what we're currently seeing happening.
21 Conversely, if Lake Powell is a higher volume content
22 than Lake Mead, you would have additional releases,
23 which have happened in years passed.

24 The upper basin has a 10-year requirement to
25 send 75 million acre feet down to the basin, the lower

1 basin. And, while they are meeting that treaty
2 obligation, if these drought conditions continue to
3 occur, there could be a jeopardy situation in two or
4 three years where they're not meeting that legal
5 requirement.

6 And then, again, you have these allow—
7 elevations that are very concerning. In 2022, the first
8 shortage was declared on Lake Mead. That was a result
9 of the elevation of the system dropping below 1,075 for
10 the first time ever, based on their operating criteria,
11 and it caused significant shortage, reductions to the
12 states of Arizona and Nevada and the country of Mexico,
13 as well as some additional conservation those states put
14 forth to try to keep these reservations higher.

15 We have new concerns these days about Lake
16 Powell, because as Lake Powell drops, it's only about 40
17 feet away from declining below the hydropower generation
18 level, and when that happens, not only do you lose the
19 power supply, but you lose the ability to have water go
20 through the system, which is the primary delivery method
21 is using the hydropower generation facility, and the
22 only way to physically get water from Lake Powell into
23 Lake Mead is to use four emergency bypass tubes.

24 The other challenge when you drop below that
25 3,490 elevation, is there's only physically 4 million

1 acre feet of water left in Lake Powell before you head
2 dead pool. And so really, in order to meet the annual
3 delivery obligation, you're almost entirely reliant on
4 the year-to-year snowpack runoff. So, these are very
5 different situations which we've seen in years past, and
6 frankly, it's been a surprise to a lot of the states.

7 We knew the system had challenges and was
8 starting to be of critical elevations that are concerns,
9 but the Bureau has put out more recent projections in
10 the last week that indicate there is a need to cut
11 demand by two to four million acre feet to prevent these
12 critical elevations from being breached. And frankly,
13 to keep Lake Mead above dead pool, which is about
14 elevation 890. That's the point when there physically
15 can be no deliveries out of Hoover Dam to downstream
16 states and water agencies, which included IID.

17 So, the Bureau annually, and semi-annually,
18 and quarterly puts out different hydrographs and
19 modeling forecasts of what it thinks conditions might be
20 in the future. This is a 24-month study, and you'll see
21 that red line is sort of the worst-case scenario, which
22 isn't supposed to happen. And unfortunately, it has
23 been happening repeatedly, and that is the basis of
24 Reclamation's near-term concerns and calls earlier this
25 week for massive reductions in demands starting in 2023

1 through at least 2026. Those negotiations have just
2 started, the Secretary has ind— or the Commissioner of
3 Reclamation has indicated if the states don't come up
4 with a voluntary plan, they will impose restrictions on
5 water agencies, and they were not specific as to how
6 they would do that.

7 Again, this is just the third-tier shortage
8 condition that we are looking at possibly breaching in
9 the 2023 calendar year. When you get to those various
10 elevations, there are either reductions of water that is
11 essentially taking from certain states and countries
12 based on the schedule I've shown here, there's also a
13 drought contingency plan that was authorized by many of
14 the states and water agencies in 2019. Those states at
15 that time agreed that they would do more conservation
16 sooner, in order to try to keep some of these critical
17 elevations from being breached.

18 Unfortunately, despite their best efforts,
19 including about operational — an operational change that
20 was made in 2022 only a month ago to, to leave another
21 million acre feet in Lake Powell, and try to keep that
22 elevation about its hydropower generation levels. The
23 system has just failed from a water supply standpoint,
24 and while these efforts have been successful in adding
25 elevation, the hydrology decreases have, in many cases,

1 offset those. So, they were sort of neutral at the end,
2 and you didn't see the significant increase in elevation
3 that you should have.

4 A particular note here, is California has
5 senior water rights. The Central Arizona Project in
6 Arizona, in order to be constructed and access some low
7 cost funding from the federal government to build their
8 facility agreed to subordinate their water rights
9 beneath California's. So, in theory, they should be
10 turning off before California takes any reductions.

11 Despite that, certain California agencies, not
12 including IID, did a great to do some voluntary
13 conservation efforts at the point wherever the lake
14 starts — Lake Mead in particular — starts to drop below
15 1,045. Again, to try to forestall some of these
16 critical events from happening.

17 And, the reductions and shortages and
18 conservation and volume shown here do not reflect
19 Reclamation's comments this week that there needs to be
20 an additional two to four million acre feet in demand
21 reductions or conservation beginning next year. So,
22 that is a whole new challenge for the water agencies and
23 states to work through.

24 What does IID do with that water? Well, we're
25 located about 80 miles off the river. The water comes

1 in to our system through the All American Canal. IID
2 has very senior water rights to 3.1 million acre feet.
3 Again, while we do have very senior water rights, the
4 system actually has to have water in it for those water
5 rights to be honored, and that's the challenge we're
6 facing now, is simply a lack of water in the system and
7 reservoirs that may make it almost impossible to get
8 that water delivered to our community.

9 We have a huge farming area with this water we
10 have always served over a half million acres of active
11 agricultural land. In the winter time, if you're eating
12 vegetables and leafy greens, that probably came from the
13 Imperial Valley or Yuma Valley. In addition, the water
14 has essentially created all of our communities that
15 wouldn't exist the way that they are today without that
16 water and without that farming agrarian economy.

17 Just to give you an idea, this is not actual
18 water deliveries, but it was a chart I had handy, and
19 it's very close. We're looking at a proportionate
20 system to be put into effect later on this year, that
21 will give water budgets to our growers and our cities
22 and our commercial users to ensure that IID does not
23 exceed its annual entitlements. This is critical in a
24 shortage year such as 2022 for the first time we don't
25 have operational flexibility to exceed our water order

1 and then pay it back in the subsequent year. We have to
2 now live within that 3.1 million acre feet.

3 So, of the water we have there is
4 approximately 98 percent that will be apportioned to the
5 ag water users based on uses to date. I don't want to
6 go into all the details about how we come up with this,
7 but about 97 percent of our water is delivered within
8 the valley or to ag users. Potable water, that's the
9 cities and the treatment plants, they use a little over
10 1.3 to 1.7 percent, and then we have only about a
11 percentage or two percent of our water use for
12 industrial and commercial water needs.

13 So, how does IID supply water to new non-indu—
14 non-agricultural projects. In 2009, the IID Board of
15 Directors adopted an interim water supply policy. There
16 were a lot of projects being bantered about, and the
17 word on the street was, there wasn't water, which was
18 ridiculous, so the IID put together this policy to set
19 aside 25,000 acre feet of water for new non-ag projects.
20 However, it turns out that those projects are more
21 speculative than reality, and to date, only one contract
22 — one amended contract has been issued under the IWST
23 for 1,200 acre feet of water. That leaves a balance of
24 23,800 acre feet available for the IID board to contract
25 with new project users.

1 The IWST requirements include that the project
2 has to submit a lot of data and information. They have
3 to do their own CEQA compliance as to the impacts of
4 their water needs and their drainage. They have to
5 provide to us information regarding their water use
6 efficiency and the BMP's they're implementing to ensure
7 that their water use is on an efficient basis, and there
8 isn't any waste associated with that use.

9 The IWST also has a fee structure in addition
10 to the delivery rate of the water. One is sort of a
11 holding fee associated because we had a lot of projects
12 that were speculative, and we didn't want them to lock
13 up water supplies and then ne— not develop. The second,
14 is a water supply development fee that will allow for
15 additional conservation to be contracted for and
16 constructed to ensure that we have sufficient water for
17 these projects.

18 And I'm just going to end on IID's
19 conservation efforts. Because we do have a large water
20 supply, we are often a target to solve other areas'
21 problems. I think we will see a lot of that moving
22 forward as well. But on an annual basis, IID and its
23 growers conserve about a half million acre feet of water
24 a year to meet transfer obligations. That water is
25 moved to urban Southern California, and contributes to

1 the water supply resilience and water supply reliability
2 of San Diego, of Los Angeles, and of the Coachella area.
3 And it's a very significant effort, it's about 15
4 percent of our water supply, at least to date to 2003
5 when a lot of these water transfers went into effect.
6 The district has conserved, this graph's a little bit
7 out of date, but I would say that I would say that
8 number's over seven million acre feet already over these
9 past two decades. So, very significant number.

10 And that's all I have. I appreciate being
11 given the time to speak here, I wish I had better news.
12 Unfortunately, we're not — we're just learning about the
13 challenges we have ahead with the Commissioner's new
14 demands, and the Secretary's call for additional
15 reductions throughout the Colorado River Basin, and we
16 will be working through that with the Basin states, as
17 well as here locally with our growers to see how we
18 might collaborate to ensure that we have as much of a
19 secure supply as we can in the future while again
20 avoiding those critical elevations that could prevent
21 water from actually being able to get to the valley.

22 CHAIR PAZ: Thank you.

23 COMMISSIONER HANKS: Okay, thank you. And
24 continuing then, we'll move now to our next presenter,
25 Abby Rodriguez.

1 MS. RODRIGUEZ: Hi everyone, thank you for the
2 opportunity to share a little bit about Sparkz today. My
3 name's Abby Rodriguez, I'm the product and business
4 manager with Sparkz.

5 Next slide, please.

6 So, a little bit about Sparkz. We are a
7 lithium-ion battery startup. I'm extremely excited to
8 share our perspective and story today from — from the
9 perspective of a battery manufacturer, so. Our goal,
10 from the Sparks side, is to development and manufacture
11 and distribute world class lithium-ion batteries that
12 are made and manufactured here in the US.

13 We're actually based out of Livermore,
14 California. And, we've got a couple other locations
15 around the country as well. Our focus is on cobalt-free
16 lithium-ion environmentally friendly, vertically
17 integrated manufacturing processes. We currently are
18 focusing on two cobalt-free chemistries. One, is a
19 mature technology called lithium-ion phosphate. And
20 from here on out, you will here me refer to that as LFP.

21 And, we're currently in the development of a
22 nickel-iron-aluminum chemistry, which is sometimes
23 referred to as NFA. And, we have a — a pretty
24 comprehensive toolbox of resources through our partners
25 and strategic organizations. And, at this time we're

1 looking to partner with major OEM's.

2 Next slide, please.

3 So, Sparkz has a — a pretty extensive, well
4 experienced management team. If — as you can see across
5 the board, we have industry expertise across
6 international battery with battery manufacturing setup,
7 capital allocation and leveraging through Richard
8 Dapaah, our VP of BizDev. With Dr. Abouimrane, he was
9 with Argonne National Lab, and before that did work —
10 some work in Canada under Michelle Arman.

11 And our founder is Sangiv Malhotra. He has
12 been in the battery industry for a couple of decades,
13 has founded and spun out three startups, and after his
14 work on those three ventures, joined the U.S. Department
15 of Energy as the inaugural Chief Commercialization
16 Officer. And during Sangiv's work at DOE, him — him and
17 his team studied the battery supply chain and the
18 infrastructure and looked at battery manufacturing from
19 the perspective of — of the US, and where does — where
20 do we fall on the battery production scale.

21 And his te— through his — him and his team's
22 work, they learned that the US does not have any battery
23 manufacturing, and we do not have a robust supply chain
24 setup or established for those critical battery

1 materials.

2 So, if we could go to the next slide, please.

3 So, through that work, Sparkz was founded.

4 Through Sangiv's work at DOE, and Sparkz has come to
5 focus — and we believe that batteries are a key to
6 address two major shifts that we — that we're looking to
7 address as a nation, and globally as well.

8 So, first, being the decarbonization of our
9 electrical system. Sparkz is approaching this from the
10 perspective of renewables. So, it's estimated that by
11 2050, there will be some net-zero scenarios that
12 envision around 90 percent renewable use through —
13 whether that's through wind or solar, but you will still
14 need energy storage through batteries to use those
15 renewable resources or energy resources most
16 efficiently.

17 So — and the second one that we see and to
18 address this major shift is the electrification of
19 transport. Which, you know, many that have spoken
20 before me today have said the same thing about
21 electrification of our transportation. And again, it's
22 been predicted that around 2050, up to 70 percent of our
23 total transport will be electric. So, in order to — to
24 reach that goal, we're going to need to establish

1 battery manufacturing and scale it up rather quickly.

2 Next slide, please.

3 So, Sparkz is seeking to address these — these
4 main markets right here, as you can see. And I tried to
5 make it clear with pictures, and the size of the circles
6 are just relative to the size of the markets based on
7 the research that we've done. Sparkz is seeking to
8 provide batteries and provide — whether that — that be
9 at the material or the cathode level, as has been
10 mentioned today. At the cell level, module pack, we
11 seek to very flexible for our partners, which is
12 something that has not previously been seen in the
13 battery industry.

14 So, we are seeking to serve the industrial and
15 the off-road market. So, if you think of the forklift,
16 or agricultural equipment market, we're also addressing
17 the stationary market needs. So, if you think of data
18 centers, generators, and whether that's for your
19 household gen— household generator, or thinking on the
20 — on a commercial scale for hospitals, critical
21 infrastructure, Department of Defense applications. All
22 those need stationary storage.

23 And next, we'll address the medium and heavy
24 transportation. So, thinking those class four to eight
25 trucks, last mile delivery vans, public transportation,

1 school busses, those kind of vehicles, as well as
2 looking to address the light duty EV market in a couple
3 of years down the road, and then of course in the
4 future, addressing the very large consumer electronics
5 market.

6 Next slide, please.

7 So, the Sparkz approach to LFP production, and
8 a large reason that I'm — I have the opportunity to
9 speak with you all today, is that we're looking to
10 leverage the opportunity to obtain our lithium from a
11 domestic source here in the US. First of all, which is
12 extremely exciting, and will hopefully help us create
13 the domestic secure supply chain that our customers are
14 looking for, and that we feel is a national security
15 need for our country as well to be sustainable and to be
16 able to supply our own critical minerals from that side.

17 So, another perspective from the Sparkz side,
18 is that we choose to leverage water-based binders in
19 some of our formulations. So, then the more non-
20 technical way to say that is instead of using volatile
21 chemicals that need specialized explosion proof
22 equipment that can actually be quite dangerous to the —
23 to the manufacturing workers and the operators on the
24 line, we choose to use water instead. So, we're able to
25 purchase equipment domestically, it is made in the US.

1 But also, you know, the top priority for our company
2 above — above and beyond all else, would be the safety
3 of the team and our workers. So, being able to use the
4 water-based binders and water in our manufacturing
5 process as opposed to dangerous — more dangerous
6 chemicals, not only will reduce our waste as a company,
7 but also will increase the safety of our employees.

8 And, we also would like to utilize renewable
9 energy and power capacities to power our manufacturing
10 plants, which we feel is something that's quite — quite
11 unique to our business. We do take a large focus on the
12 manufacturing and product development side. Again, as I
13 said, trying to be flexible for our customers and meet
14 their needs, instead of tell them here's a one-size-fit-
15 all approach, take it or leave it.

16 We also try to focus on robust quality
17 management, and making sure that our customers, we
18 provide them product traceability from mine to market,
19 so they're able to see and have full visibility of the
20 supply chain as they go through.

21 And, again, as I've said, a culture of safety
22 and continuous improvements is paramount to Sparkz and
23 to our team.

24 Next slide, please.

25 Thank you. So, moving forward, some needs

1 that Sparkz sees as we seek to grow manufacturing and
2 material manufacturing in is — oh, I'm sorry, could I go
3 back one more slide, please? Thank you so much.

4 As we seek to grow our operation in California
5 and get into the materials manufacturing as well as the
6 battery and cell manufacturing, we see a need for
7 federal matching funds. I'm sure many are aware that
8 through the bipartisan infrastructure law, there is
9 quite a bit of funding for materials processing, battery
10 manufacturing, and — and those that are seeking to play
11 in this market.

12 So, matching funds for those federal dollars
13 are a huge need. State support to purchase and validate
14 manufacturing equipment would be another great need from
15 the industry perspective. As well as state support for
16 workforce training and development. We've had the
17 opportunity to engage with the California Workforce
18 Development Board but furthering that support so that
19 Californian's can find meaningful sup— support, and then
20 training and employment through this growing market.

21 And some community impacts that — that we hope
22 to see through the — through the Lithium Valley and
23 through our work at Sparkz, is to provide local jobs
24 through material manufacturing as well as through the

1 battery manufacturing. We seek to be a green
2 manufacturer with little to no waste — little to no
3 hazardous waste, especially. I — I know the professor
4 that spoke briefly talked about the risk of asthma and
5 certain — certain other diseases in the area. So, we —
6 we seek to address and mitigate those risks from the
7 beginning.

8 As I said earlier, safe manufacturing, safety
9 of our — of our plant and our employees is number one.
10 And — and certainly seeking to do what we can to grow
11 the lithium market and see this — this opportunity to
12 have a domestic source of lithium grow and of course
13 supply not only us, but other US battery manufacturers.

14 Next slide, please.

15 And that is all I have. Thank you to the
16 Commission, and to the audience for giving me an
17 opportunity to share about Sparkz. If there's any
18 questions or comments, please feel free. Here's our
19 social media handles, our website, and a general info
20 email where inquiries can be made to the company. But,
21 thank you all for your time.

22 (Pause)

23 CHAIR PAZ: — question first each here, then
24 I'll go to those who are online and if you have — if we

1 still have time, I'll take another question from people
2 here. So, we're not leaving those who are on Zoom
3 little —

4 UNIDENTIFIED SPEAKER: We're still going to
5 have time for public comment, right?

6 CHAIR PAZ: Of course.

7 UNIDENTIFIED SPEAKER: Alright.

8 CHAIR PAZ: So, we're going to start with
9 questions from the Commissioners here in Imperial, and
10 I'm starting my time.

11 (Pause)

12 Commissioner Olmedo?

13 COMMISSIONER OLMEDO: Yeah, Madam Chair, I did
14 — this is your opportunity to ask questions that perhaps
15 clarifications, and you know that we also have a time
16 that we set aside for these meetings, and I — I do want
17 to recommend, and this is not a question directly to the
18 presenters, but I do want to recommend that if we need
19 to add more meetings, we add more meetings. Because I
20 think we are shortchanging ourselves and our ability to
21 have a full opportunity, you know, when we have these
22 experts in the room.

23 But that's not my question. Actually
24 throughout them all the different presentations, and
25 there's a few things that — that — that I took away

1 from this. One is, that my understanding is there are
2 legislation that reclassifies the waste streams that are
3 coming out of the geothermal processes, depending on
4 where it's coming out. The other is — and presenters
5 can take notice, right? I'm just going to put 'em out
6 there. The other is similar to the way that gold is
7 separated from its ore utilizing cyanide, it's very
8 unclear as to how the lithium will get separated and how
9 that's going to get — that waste is going to get
10 managed.

11 It's clear that — again, looking at
12 information that there's — there's water, there's you
13 know, multiple streams of waste, and still very unclear
14 how those are going to be managed. Mr. McKibben brought
15 up the economic concerns about the tax, and — and the
16 question with that one intrigued me most, because, you
17 know, this last presenter talked about the importance of
18 lithium to this country. And, couple things for Mr.
19 McKibben, and this — this question. One is, I'd be
20 curious to know the — your background. Your background
21 is in economics.

22 Two is — is there any policy recommendations
23 that this country of this state can put — can act on to
24 assure that extraction in the United States does not get

1 undersold, or — or put in a hard situation when
2 competing with other countries, because what also comes
3 to mind is that if other countries let's say are not
4 utilizing the best practices, are not utilizing the best
5 environmentally sound science and practices, then what
6 exactly is it that the US has to do, or California, to
7 be competitive? Is it having similar practices? Or is
8 there a policy recommendation that the US can take to
9 assure that the environment, the health, the economy,
10 and the investments of the industries, and on top of
11 that, because it is a mineral priority, there's
12 considerable resources — that's what I took away. So, I
13 — I'd be curious to know if in your experience — I
14 don't know if it's economists, of how you see this tax
15 being such a risk. Taking all of that into
16 consideration.

17 MR. MCKIBBEN: So, it's mainly from comparing
18 what has been proposed, which is the flat tax. What's
19 (INDISCERNIBLE) to other states (INDISCERNIBLE) the
20 severance of minerals from the ground by the state or
21 the county, and mostly the other mining states in the
22 Western United States are using a — a percentage tax.
23 Either of the gross income, or the gross income minus
24 the expenses with some deductions. And those taxes
25 range from one to five percent, depending on the state

1 you look at. Nevada is probably the most tax-friendly,
2 for example. So, it's not clear to me where the idea of
3 the flat tax came from, because that's very inconsistent
4 with what's being done in other western states. And I
5 was just urging the Commission to advise the governor to
6 have some flexibility in how they look at that.

7 The depletion allowance is a federal incentive
8 on the — on the income tax deduction that's often used
9 to stimulate domestic production when we don't have
10 much. So, that's why, for materials like manganese and
11 cobalt and many others I could list that are considered
12 strategic commodities that we don't produce
13 domestically, they set the depletion allowance pretty
14 high at 22 percent for domestic production. So, that's
15 another way the federal government could stimulate the
16 production of — of lithium. And they do, they have it
17 set very high at 22 percent.

18 So, I would just urge the Commission to advise
19 the governor's office to look — look at what the other
20 states are doing, and look what — what seems to be
21 working well and what doesn't seem to be working so
22 well.

23 COMMISSIONER OLMEDO: Are those examples
24 you're drawing from similar to conditions that being set
25 today's priorities with, you know, the subsidies,

1 policies, (INDISCERNIBLE)

2 (AUDIO FEEDBACK)

3 MR. MCKIBBEN: Um —

4 COMMISSIONER OLMEDO: Just curious as to how
5 do you draw those examples, and (INDISCERNIBLE) your
6 experience on economics (INDISCERNIBLE) make those.

7 MR. MCKIBBEN: So, I'm not an economist, but I
8 — I studied mining and I studied tax law and — and
9 regulations related to mining and metals extraction. So
10 that's the experience I'm drawing on. But, each state's
11 a little bit different in the way they might split up
12 the severance. So, some of them might exempt the first
13 so many millions of dollars of production from any
14 severance tax, and anything above that gets taxed at,
15 let's say two percent.

16 Other states would — would not provide that
17 exemption. So, the states are quite variable in how
18 they handle it, and I think some of them have a better
19 track record of — of promoting mining being able to
20 occur without forcing it out of the state or forcing it
21 overseas.

22 (OFF MIC) (INDISCERNIBLE) those differences
23 carefully, is there some way it could be structured here
24 in California that would assist the development to the
25 lithium industry?

1 CHAIR PAZ: Dr. McKibben (OFF MIC)

2 (Pause)

3 Are the other states similarly investing in
4 the private sector to promote the development of some of
5 these materials?

6 DR. MCKIBBEN: Um —

7 (AUDIO FEEDBACK)

8 Wait a little bit?

9 I know in the past, the states have — have
10 done stimuli to invest. So, Arizona with its copper
11 mining, Nevada with its gold mining currently and in the
12 past with its silver mining. So, it kind of depends on
13 the commodity that they're trying to promote and
14 support.

15 I'm not aware of any state that — that is
16 putting in the effort that California now seems to be
17 putting in — into a commodity right now. And it — it
18 may be somewhat unique for California because we have
19 what could possibly be one of the largest lithium
20 deposits, if you will, in the world. And not all the
21 other states necessarily have a huge deposit like that
22 that they could focus on.

23 I don't know if I answered your question.

24 CHAIR PAZ: (INDISCERNIBLE)/(OFF MIC)

1 — was around water. You mentioned water as a
2 challenge, and we got a presentation and there's a
3 reason to be worried about water overall. But, I was
4 wondering what exactly — like how would you define the
5 water challenge, especially when we're talking about the
6 lithium production. Is it the quality of the water
7 that's available, the quantity of the water that's
8 available, so what exactly is the water challenge when
9 we're speaking particularly (INDISCERNIBLE).

10 DR. MCKIBBEN: It's both the quantity and the
11 quality. So, to wash the adsorbent, you need relatively
12 fresh, clean water to be able to remove materials. So,
13 steam condensate, for example, would be a very clean
14 water.

15 The downside of using steam condensate is — is
16 our operators have mentioned, the reason this field has
17 stayed so constant for so long, is they are constantly
18 re-injecting everything back into the reservoir, and
19 that kept — keeps it going. If we're going to start to
20 remove some of that steam condensate and use that for
21 process water for the lithium, then that's less water
22 you're putting back in the reservoir, and that's created
23 problems at the geysers. COSO, (INDISCERNIBLE) was not
24 reinjecting at all, and that's a complete environment
25 disaster now there, and their field is now half dead

1 compared to what it used to be. So, maintaining the
2 reinjectivity is — is important and that would be the
3 downside of using the steam condensate.

4 Having said that, if you look at the EIR for
5 Simbol's Hudson plant, which they were going to do with
6 the older version of Energy Source Minerals, they were
7 going to use 70 percent of their lithium water was going
8 to be from the steam condensate from the power plant.

9 Other solutions to that problem. What the
10 geysers has done, is they — they take greywater,
11 wastewater from three local communities, including Santa
12 Rosa, and they pipe it to the geothermal field and
13 they're injecting it into the reservoir. And so, that
14 might be another solution here to — to reinject fluid in
15 the reservoir and allow the geothermal companies to use
16 more of the steam condensate for the process water.

17 (Pause)

18 COMMISSIONER RUIZ: (INDISCERNIBLE) obviously
19 more for Tina Shields, I don't know if she's still in
20 the room. And this is following up on the question that
21 you are posing about water. Obviously, we live in a
22 really extremely volatile water, you know, environment
23 with experiencing one of the worst droughts in modern
24 history. And — and I think, you know, it's come to a
25 point where we need to develop water budgets, you know,

1 for pretty much every industry, you know, that we are
2 dealing with.

3 And so, I — this is, you know, a two-part
4 question. One, is how can we avoid having the lithium
5 industry competing with the ag industry, with the other
6 entities in terms of water, right? We have a water
7 bank, and we can only withdraw water. We cannot put
8 water back in there. This is a finite resource.

9 And — and second, can we perhaps discuss a
10 water budget. What would be the water cap? How — how
11 much water can we make available — assuming that, you
12 know, the industry will continue increasing in — in
13 production. Can we establish a water cap? Will that be
14 something that can — can benefit the industry, the
15 community, the you know, the — pretty much all together
16 in the long run?

17 MS. SHIELDS: So, obviously, the news we've
18 been hearing lately about the drought is really
19 unprecedented. The volume of reductions that they're
20 looking at is going to be a tough situation for folks to
21 work through. IID, in particular, has a very large
22 water supply with senior rights, and we've basically
23 been put on notice that we need to be part of the
24 solution.

1 But that being said, I think a lot of the
2 water supply situation within the valley and throughout
3 the (INDISCERNIBLE) policies that exist or will be
4 adapted in the future, and that's where our
5 responsibility is to this community and to our water
6 users, is to find mechanisms to make things work.

7 There certainly are some conservation options,
8 there are retreatment and recycling options that we have
9 not looked to in the past, because we haven't needed to.
10 We've had more than sufficient supply, and those are not
11 in — in many cases they're expensive —

12 (Pause)

13 UNIDENTIFIED SPEAKER: We're having some
14 (INDISCERNIBLE)

15 CHAIR PAZ: You are on mute, Tina.

16 (Pause)

17 MS. SHIELDS: And can you guys hear me?

18 CHAIR PAZ: Yes.

19 COMMISSIONER RUIZ: Yeah, we can hear you now.

20 (Pause)

21 CHAIR PAZ: We can hear you now.

22 Maybe she can't hear us?

23 (Pause)

24 MS. SHIELDS: Hi, can you hear me now?

25 CHAIR PAZ: Yes.

1 COMMISSIONER RUIZ: Yes.

2 MS. SHIELDS: I'm assuming that nothing I said
3 earlier came through. So, the — the drought's
4 unprecedented, the district's going to have to take
5 actions and collaborate with other states, and that's
6 going to be a tough process we'll work through.

7 As far as providing water to these industries,
8 the board has indicated that this is a priority for it
9 to serve these new types of industries that have
10 potential for great value to our community from a jobs
11 and economic growth perspective. I think that we will
12 be challenged in the future, but I do think that there
13 are opportunities.

14 I will also say that, under our interim water
15 supply policy, we still have water available. The
16 projects never actually happened and were developed,
17 they were talked about. So, we're going to see as
18 these moves — as these projects move forward what those
19 water demands are and how we can generate that water.
20 We have options available. We have not looked yet into
21 recycling and retreatments. We have a lot of water that
22 flows into the Salton Sea that, with sufficient funding
23 and treatment technology, can be cleaned up. There are
24 some groundwater supplies available on the eastern
25 portion of our valley that have not been cost effective

1 in the past, and may be in the future, depending on what
2 the economics of the situation are.

3 So, I also think there's some opportunities to
4 save from the location of these projects. They're at
5 the end of our system, and there may be some
6 opportunities to collect the runoff and do some basic
7 retreatment, or just collect carriage water that would
8 normally spill into the Salton Sea. I think your
9 challenge is always going to be — the more efficient you
10 are in your water usage and the more conservation that
11 you create, the more — the more Salton Sea impacts you
12 have and we'll have to work through the mitigation of
13 those. It's — it's, you know, it's a tough choice down
14 here. If you use more water and become more efficient,
15 you're actually causing impacts to the Salton Sea. And
16 it — and it's a difficult challenge. But, as I
17 indicated earlier, the Board's been very forthright in
18 their concerns and interests in finding ways to serve
19 these, and we will work through those in the next couple
20 of years as the projects develop.

21 CHAIR PAZ: Thank you, Tina.

22 COMMISSIONER RUIZ: Thank you.

23 CHAIR PAZ: Jim, you have a response to that
24 as well?

1 MR. TURNER: Yes. I — this — I liked it, so
2 that everybody knows. CTR, and I'm sure BHE will do
3 this when they get to that phase of engineering. We —
4 we are studying how many times we can reuse a gallon of
5 water before it's basically not usable anymore.

6 And, to address Dr. McKibben's point about the
7 steam condensate, actually all of our water at the end
8 will go back into the reservoir. Now, we may have to
9 treat some of it so that we get the conditions right,
10 but the — the real key is, and — and we've — we made
11 this decision several years ago, that at the appropriate
12 time, we would study how many times we can reuse a
13 gallon of water.

14 In the old days, we tended to use it once and
15 throw it away. But, knowing that water is as precious
16 as it is, and it may take some additional processing,
17 but we'll reuse water as many times as we possibly can.
18 And like I said, I'm sure BHE will do the same when they
19 get to that phase of engineering.

20 CHAIR PAZ: Thank you. Are there other
21 questions?

22 COMMISSIONER WEISGALL: I'm on the public
23 time. I just want to thank all the panelists today.
24 These were really terrific presentations, and we
25 neglected to thank that first panel. Really very, very

1 — very helpful to everybody, and I want to move this
2 along.

3 CHAIR PAZ: Thank you. I will go now to Chula
4 Vista, see if there are questions from Commissioner
5 Castaneda?

6 COMMISSIONER CASTANEDA: None, thank you.

7 CHAIR PAZ: Okay. I will check with
8 Commissioner Reynolds in Sacramento?

9 COMMISSIONER REYNOLDS: No questions from me,
10 thank you. I also wanted to add my thanks to all the
11 panelists.

12 CHAIR PAZ: Thank you. Commissioner Flores, in
13 Sacramento Natural Resources Agency?

14 UNIDENTIFIED SPEAKER: She stepped out a
15 little bit, so—

16 CHAIR PAZ: Okay. And, I know Commissioner
17 Dolega texted that he also to leave. So, I think those
18 are all the questions from the Commissioners and right
19 on time. So, I will now open it to public comment.
20 And, at this point, we will take public comment related
21 to the workshop. And so, related to all the
22 presentations that we've been discussing. And, I will
23 start here in Calipatria and you can just start walking
24 maybe towards the podium, and if there's others you can
25 line up, that way we can do it —

1 MS. NOVA-FROELICH: Hi, my name's Maria Nova-
2 Froelich, Mayor Pro-Tem for the City of Calipatria. I
3 also work here at the school district. I'm Director-
4 Coordinator of the Calipatria-Nyland Family Resource
5 Center.

6 So first of all, I want to thank the Lithium
7 Commission for being here. I want all the presenters
8 and the geothermal developers that are here today. So,
9 I'm — I'm very excited about the lithium project coming.
10 God-wiling, you know, that we will have some community
11 benefits coming. We've been advocating for 30 percent
12 of the community benefits coming to the North End.

13 I understand that the geothermal plant has
14 been very successful, has been here 40 years plus. I
15 think it's healthy. Very happy to hear, you know, that
16 IID is supporting the lithium projects that are coming.
17 I understand also there's a programmatic EIR that's com—
18 that means that there's going to be more than just one
19 lithium project.

20 So, with that said, I want to say that I heard
21 that there's a campaign going on behalf of some of the
22 developers that are — that are opposing some of the —
23 some of the — the flat rate tax rate regarding the
24 lithium extraction. And, I just want to say that the
25 developers are going to be making a lot of money. This

1 is a very healthy project. The extraction of the
2 lithium that's going to be taking place for — for many
3 many years to come, and many generations to come.

4 With that — with that said, I want to say that
5 I think that they stand to make billions and billions of
6 dollars from our rural Imperial County. We're very much
7 impoverished in the North End. 85 percent of — or more
8 of our kids are free and reduced lunch. And I want to
9 say that I think it's fair that the geothermal plants,
10 you know, pay their fair share in regards to the lithium
11 extraction projects.

12 I know for a fact that the Calipat school
13 district has benefited a lot from what you have given,
14 and we are forever grateful. We've had a lot of
15 students and generations come through our school
16 district. But, the — this is different now. Geothermal
17 is going to — the lithium is going to serve 40 percent
18 or more globally throughout the whole world, and so I'm
19 thinking that — I support the flat rate in regards to
20 the lithium tax, and with that said, thank you again for
21 all of you for giving a wonderful presentations. The
22 IID, the presenters, as well as CTR and the other geo—
23 geothermal plants that are here, and the other
24 presenters that are here.

1 Thank you very much.

2 CHAIR PAZ: Thank you.

3 BRIAN (NO LAST NAME): Hi. Thank you. My
4 name is Brian, I'm a freelance reporter. Jim, you
5 mentioned about the percentage of profits. What profits
6 did CRT make last year? How much?

7 MR. TURNER: We haven't made any.

8 (Pause)

9 — same thing, we're building, we're developing
10 our first plant.

11 BRIAN (UNIDENTIFIED LAST NAME): So, like, how
12 long has that been there?

13 MR. TURNER: Well, we've been in the di— we've
14 been developing this since 2012. So, we've yet to build
15 the first one. We're hoping to do that.

16 BRIAN (UNIDENTIFIED LAST NAME): I mean, I
17 understand that the profits, you know, like, the people
18 want to like pay by the profits, but, you know, like — I
19 was talking to John the other day — he says he hasn't
20 been here for how long, he hasn't made a profit yet, in
21 the — in the geothermal energy. And is that creative
22 accounting? Or poor management? I mean, well — I mean,
23 what are we going to get from nothing?

24 (Pause)

1 What's the percentage of nothing? 'Cause you
2 can creative account it, pencil-whip anybody, but can
3 you guys answer that? Like, what are we — what are we
4 actually looking at? What's the number?

5 CHAIR PAZ: We don't have time to — to Q & A,
6 unfortunately because —

7 BRIAN (UNIDENTIFIED LAST NAME): Well I've
8 still got —

9 (AUDIO CUT OUT)

10 (Pause)

11 CHAIR PAZ: — them, because they are, like you
12 said, they're just starting the geothermal. There's
13 other companies that do have geothermal, but I think, I
14 mean, we've — he's answered that question.

15 BRIAN (NO LAST NAME): Well how 'bout Jon
16 (INDISCERNIBLE). How much have you guys made, last
17 year?

18 (Pause)

19 COMMISSIONER WEISGALL: I didn't know we were
20 going for Q & A. I'll tell you about (INDISCERNIBLE).
21 We have three — three positions. Number one, there's
22 got to be one tax, not two from the county and the
23 state. Number two, we want revenue coming back here.
24 And number three, the tax has to be reasonable.

1 CalEnergy, BHER, has operated under a net
2 operating (INDISCERNIBLE) in California for a number of
3 years. As far as tax is concerned, there are different
4 ways to go. There's a flat tax. You can do a
5 percentage. You were talking, and you were grilling Mr.
6 Turner about the percentage of profits. You can also
7 put a percentage of revenue. So, even if you lose
8 money, you can still —

9 BRIAN (NO LAST NAME): Yeah but that would
10 make (INDISCERNIBLE).

11 MR. TRUJILLO: Well, what's —

12 (AUDIO FEEDBACK)

13 This is not appropriate for here. Thank you
14 very much. I'm not aware this is a Q & A.

15 CHAIR PAZ: Yeah, no. And commit— we don't
16 have to answer questions, just so you know. The public
17 has three minutes, they can use their three minutes,
18 finish early, but if there's — it's not a Q & A. So
19 just want to (INDISCERNIBLE).

20 Next speaker?

21 MR. SHEER (PHONETIC): My name's Edgar Sheer.
22 I'm a business man. Strictly a business man. I've had
23 businesses in Niland for 35 years. Service stations,
24 restaurants, that's all I've done.

25 I listened to the gentleman right here, and we

1 were talking about how to come up with some kind of a
2 rate, okay? And he said, well maybe two percent of the
3 gross profits after expenses. Been in business all my
4 life and I — I don't quite understand what you mean by
5 gross profits after expenses. Gross profits is gross.

6 MR. TRUJILLO: They allow deductions for
7 expenses.

8 MR. SHEER (PHONETIC): Okay, but when you
9 start — after — I'm just trying to get this in my — in
10 my thick mind, folks. Because gross profits is gross
11 profits. Gross profits after expenses are net. You can
12 put in de— depreciation, all kinds of things. So, ju—
13 this is a good thing. What this gentleman right here
14 said about the other — mining in other countries is
15 true. They can destroy your water tables. Here, I
16 think, first you're going to take the water and pump it
17 back down into the ground?

18 MR. TRUJILLO: Yup.

19 MR. SHEER (PHONETIC): For the most part. And
20 that's going to keep our water table somewhere close to
21 where it should be, I guess, I'm assuming. Is that
22 correct, sir?

23 MR. TRUJILLO: It'll actually go back into the
24 geothermal reservoir.

25 MR. SHEER (PHONETIC): That's right, yeah.

1 MR. TRUJILLO: So, we want to balance that
2 reservoir and make sure that the reservoir stays
3 healthy.

4 MR. SHEER (PHONETIC): Okay. Alright. Now,
5 as we get more and more — you want to build geothermal
6 plants, is that correct, sir?

7 MR. TRUJILLO: That's correct.

8 MR. SHEER (PHONETIC): Now, I was in a meeting
9 where Warren Buffet said that — him and Charlie Munger,
10 they said that these are very costly to build. That
11 true?

12 MR. TRUJILLO: Yes.

13 MR. SHEER (PHONETIC): And you said, what've
14 we got — thank you, sir. I think you said something
15 about six percent of energy comes from geothermal? Is
16 that — is that the figure that you gave out?

17 MR. TRUJILLO: For California.

18 MR. SHEER (PHONETIC): Yeah. And, Warren
19 Buffet said they're — they're just aren't hardly —
20 hardly worth it. Now, so what my question to you two
21 gentlemen is, if something goes haywire here, and we
22 don't go on with lithium, is Charlie and
23 (INDISCERNIBLE), are they going to go ahead and build
24 more geothermal plants?

1 (Pause)

2 MR. TRJUILLO: I can answer (INDISCERNIBLE).

3 UNIDENTIFIED SPEAKER: Okay.

4 UNIDENTIFIED SPEAKER: Yeah, I—

5 UNIDENTIFIED SPEAKER: Would you like to
6 answer for CTR?

7 (Laughter)

8 CHAIR PAZ: (INDISCERNIBLE)

9 MR. TRUJILLO: I — I, I will happily say that
10 — that, that our development plans right now — our
11 attempt to align our geothermal interests in development
12 with lithium. However, if there is of — a, um — a
13 misstep or an issue on the lithium side, we still have
14 an opportunity to pursue geothermal. And — and vice
15 versa, I would say as well. So—

16 CHAIR PAZ: Time is up.

17 (Pause)

18 MR. SHEER (PHONETIC): Thank you.

19 CHAIR PAZ: I see no other speakers here in
20 California. Do we have anybody in Sacramento, with
21 Commissioner Reynolds?

22 COMMISSIONER REYNOLDS: This is Commissioner
23 Reynolds, and no, Madam Chair, we have no speakers here
24 in Sacramento.

1 CHAIR PAZ: Thank you. Do we have any
2 speakers at the Natural Resources Agency in Sacramento,
3 Commissioner Flores?

4 COMMISSIONER FLORES: Hi. No, we have no one
5 here, thank you.

6 CHAIR PAZ: Thank you. Do we have any one on
7 Zoom?

8 (Pause)

9 MS. LOZA: — hands raised. The first is going
10 to be Nikola Lakic, you should be able to unmute
11 yourself.

12 MR. LAKIC: Hello, can you hear me?

13 MS. LOZA: Yes.

14 MR. LAKIC: Good afternoon, Chair Paz and
15 Commissioners. Good afternoon, everyone. Thank you for
16 this opportunity to say a few words.

17 This is very interesting meeting on — and, I
18 would like to say a few words. I am graduate engineer,
19 architect. I'm inventor of several breakthrough
20 technologies in energy industry, hydro, solar,
21 geothermal. About over 30 patents.

22 I notice serious fundamental, actually,
23 disconnect between what you doing at two projects.
24 Harnessing — trying to harness the lithium, and at the
25 same time, restoration of the Salton Sea. What's

1 missing there, is really architectural design to unite
2 those projects. And that's what I'm providing.

3 As architect, yes, I — I have interesting
4 proposal, it's under review by the state at this very
5 moment. I hope will be accepted. Because, it's
6 generates about \$500 million and between high 500 and
7 billion in revenue. In addition — so just from energy.
8 You know, in addition to what you're doing right now
9 with geothermal and extract much more lithium.

10 I would be glad to speak with any of you
11 separately — it needs a little time. I hope in future
12 that we will work together, because I do have solution
13 and ignoring me and my proposal is — it's not very wise.
14 It's ignorance so — so far happens since 2013. And, I
15 hope that will not happen — will not continue.

16 So, yes, I'm offering my service, and I hope
17 to work with all of you soon. But, we have to meet, and
18 we have to deflate that arrogance a little bit, you
19 know, not wanting to see other projects and knowing
20 everything — I, I studied architecture, nine semester,
21 38 exam, plus graduate work five, six months extra, and
22 I'm proud to say I graduated with ten out of ten, it was
23 very rare.

24 Great. So, I hope that we will work together.

1 Interesting, nice proposals, a lot of information, and I
2 will try to reach you, some of those presenters that I
3 have seen today, and let's hope that we can go forward
4 together in future, because with my proposal, we will
5 have plenty of water for extraction of lithium, for
6 replenishing geothermal reservoir, for farmland. And,
7 uh — yeah, but that's not for two minutes or three
8 minutes presentation, we need one afternoon, few hours,
9 just for me.

10 But, thank you very much.

11 (Pause)

12 MS. LOZA: — Reyes.

13 You should be able to unmute yourself.

14 MR. REYES: Yeah, this is Eric Reyes, Los
15 Amigos de la Comunidad, Imperial Valley Based CTO. And
16 in hearing all of the presentations, it's a very clear
17 there's a disconnect between what the community wants,
18 what industry wants, and even what our government —
19 local government agencies want.

20 Some of the issues we feel are — are obviously
21 water, it's not being addressed, and how are communities
22 going to meet our future water needs where we'll be
23 taped in the — by the industry as well. And also, the
24 mechanism for the fee, and how that's going to be

1 distributed after has not either been fleshed out or
2 properly discussed with the community. We have our own
3 desires as to how that money should be reinvested in our
4 community, and we're not having that discussion dialogue
5 at the same time. We feel that should be going on at
6 the same time as you discuss with what they will be
7 charging the industry, the levy and the tax.

8 Also, we feel there should be a tired levy, in
9 many ways. You can start them off beginning, but at the
10 end when they're making their billions, as Ms. Nova
11 said, they should be paying their fair share and the
12 community should be benefitting from it. I hope we can
13 have this type of dialogue honestly, and openly with all
14 stakeholders at the table. Thank you very much.

15 CHAIR PAZ: Thank you.

16 (Pause)

17 MS. LOZA: We have one comment from the
18 question and answer box, and I think this was during the
19 first workshop, by Crystal Warden. And it says, "How
20 will Bombay Beach be affected?"

21 (Pause)

22 CHAIR PAZ: Thank you.

23 MS. LOZA: And those are all of the comments
24 on Zoom. Back to you.

25 CHAIR PAZ: Thank you. Well, seeing that we

1 do not have a quorum and it is almost five, I am going
2 to defer all the remaining items on the agenda for the
3 next meeting. But, I do want to provide a little bit of
4 housekeeping for the next meeting, and I might need to
5 ask Silvia to remind me, but we have our next meeting
6 scheduled for June 30th, and it will be here at
7 Calipatria High School, and we are going to be starting
8 that meeting at one, similar to today. During that
9 meeting — so I get — we have as — as of today, covered
10 all of the topics, and some additional, that we were
11 interested in, that we've been required to cover for the
12 reports. So, we're in a good place with our timeline.

13 There are still some topics that we want to
14 discuss further. That is the environmental impacts, so
15 we are going to continue the conversation on
16 environmental impacts, as we discussed last meeting.
17 And that is going to include topics, or speakers who can
18 speak to the waste streams, the role of the regulatory
19 bodies, the mitigation strategies, and I do want to
20 continue in that meeting, hopefully, the conversation on
21 water, which started today.

22 And, I think there needs to very good clarity
23 around, you know, when we're talking about the water
24 table, when we're talking about the geothermal
25 reservoir, and when we're talking about ideas like

1 Commissioner Ruiz talked about, are we going to have to
2 get to the point where we have to create water budgets,
3 and how do we ensure that the water that people need to
4 drink gets prioritized. So, I think there's a lot at
5 stake when we're talking about water. So, I would like
6 to see if we can continue that topic in our conversation
7 of environmental impacts. What is next?

8 We also are developing a — with Commissioner
9 Scott and Commissioner Ritchie, we are going to be
10 hearing from the Tribal perspectives, and that is
11 expected to be — to happen at the July meeting. The
12 July meeting will take place on the 21st. It will be a
13 full day meeting, and it will take place at Westmorland
14 Elementary school.

15 So those are just, again, some housekeeping,
16 what's coming, so, I will now just open the meeting for
17 general public comments before we adjourn. So, this is
18 a time for anyone in the audience who wishes to speak on
19 items that were not on the agenda. And you can come to
20 the podium and state your name.

21 (Pause)

22 UNIDENTIFIED SPEAKER: (INDISCERNIBLE) My name
23 is (INDISCERNIBLE). I'm just trying to request a
24 (INDISCERNIBLE)—

25 (AUDIO FEEDBACK)

1 — from the —

2 (Pause)

3 Thank you. I wanted to request an update from
4 the community engagement subgroup led by Luiz Olmedo,
5 Frank Ruiz, Chair — Vice Chair Kelley, and Chair Paz. I
6 would like to request (INDISCERNIBLE) an update to be
7 submitted either to the docket, or to be, perhaps, part
8 of an agenda item for the next meeting on June 30th.
9 And, in that update, if — and I'm wondering if there are
10 any upcoming workshops to be held in person, especially
11 as the draft report is coming up next month, I believe.

12 But, I haven't heard from the community
13 engagement subgroup, or subcommittee, in quite a while,
14 so I'm just wondering if there are any developments that
15 can be shared in an update, either written, or as part
16 of an agenda item next time if the Commissions. Thank
17 you.

18 CHAIR PAZ: I don't see anyone else here in
19 California. And, I don't know if I have to call if I
20 already know that there's no one in Sacramento? Or do I
21 need to?

22 (Pause)

23 MS. PALMA-ROJAS: Yes.

24 CHAIR PAZ: Okay. So, Commissioner Reynolds,
25 is there anyone in Sacramento wishing to speak?

1 COMMISSIONER REYNOLDS: No, there is no one
2 here.

3 CHAIR PAZ: Thank you. Commissioner Flores,
4 is there anyone at the Sacramento Natural Resources
5 Agency wishing to speak?

6 COMMISSIONER FLORES: No, there's no one here.

7 CHAIR PAZ: Thank you. Commissioner Dolega is
8 not there, and neither is Commissioner Castaneda, so we
9 will now go to the CEC staff to see if there's anyone on
10 Zoom wishing to speak?

11 MS. LOZA: Don't have any hands raised on
12 Zoom, and there are no questions in the comment — in the
13 Q & A box.

14 CHAIR PAZ: Thank you.

15 MS. LOZA: Back to you, Chair Paz.

16 CHAIR PAZ: Thank you. So, we will adjourn at
17 4:58, and we'll see you June 30th.

18 (Meeting adjourned at 4:58 P.M.)

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 6th day of July, 2022.



MARTHA L. NELSON,

CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

July 6, 2022