

BEFORE THE  
CALIFORNIA ENERGY COMMISSION (CEC)

In the matter of )  
 ) Docket No. 12-AAER-2B  
Efficiency Rulemaking )  
 )  
\_\_\_\_\_ )

California Energy Commission  
**DOCKETED**  
**12-AAER-2B**  
TN # 2957  
JUN 14 2013

**STAFF WORKSHOP**  
**2012-2013 APPLIANCE EFFICIENCY RULEMAKING**

California Energy Commission  
Hearing Room B  
1516 Ninth Street  
Sacramento, California

Thursday, May 30, 2013  
9:00 A.M.

Reported by:  
Kent Odell

## APPEARANCES

STAFF

Ken Rider  
Harinder Singh  
Peter Strait

Also Present (\* present via telephone)

Alex Boesenberg, National Electrical Manufacturers  
Association (NEMA)  
Mike McGaraghan, Energy Solutions, on behalf of CA IOUs  
Keith Cook, Philips  
Noah Horowitz, Natural Resources Defense Council (NRDC)  
Willem Silleviss-Smitt, SORAA  
Gary Fernstrom, Pacific Gas & Electric Company (PG&E)  
Joe Howley, GE Lighting  
\*Richard Greenberg, Southern California Edison (SCE)  
\*Michael Morin, San Diego Gas & Electric Company (SDG&E)  
Pekka Hakkarainen, Lutron Electronics  
Charlie Stevens, Northwest Energy Efficiency Alliance  
\*Jim Baker, [Freescale Semiconductor](#)  
Daniel Young, Energy Solutions, on behalf of CA Utilities  
Amanda Gonzalez, Energy Solutions, on behalf of  
California Utilities

## INDEX

	Page
Opening Remarks	
Discussion on submitting proposals - Harinder Singh	4
Staff Presentation: LED Lighting - Ken Rider	7
Discussion and Comments	8
Break	
Staff Presentation: Dimmable Ballasts - Harinder Singh	62
Discussions and Comments	64
Lunch	
Staff Presentation: Multifaceted Reflector Lamps - Harinder Singh	85
Discussion and Comments	88
Closing/Next Steps - Harinder Singh	96
Adjournment	101
Reporter's Certificate	102
Transcriber's Certificate	103

## P R O C E E D I N G S

1  
2 MAY 30, 2013

9:04 A.M.

3 MR. SINGH: Good morning. Welcome to the Energy  
4 Commission. My name is Harinder Singh. I'm the Appliance  
5 Program Office Engineer.

6 First of all, let me give you some instructions  
7 on the housekeeping items. For those of you who are not  
8 familiar with this building, the closest restrooms are  
9 located to the right as you go outside; there is a snack  
10 bar on the second floor under the white awning, it's up as  
11 you go to the left, the stairs are there; lastly, in the  
12 event of an emergency and the building is evacuated,  
13 please follow our employees to the appropriate exits. We  
14 will reconvene at Roosevelt Park located diagonally across  
15 the street from this building. Please proceed calmly and  
16 quickly, again, following the employees with whom you are  
17 meeting to safely exit the building. Thank you.

18 I also want to let everybody know that today's  
19 proceedings are being recorded and the transcripts will be  
20 posted on the Commission website in three to four weeks.

21 Now some background on today's proceeding. The  
22 Energy Commission conducted a scoping workshop in August  
23 2011. The Commission approved and issued an Order  
24 Instituting Rulemaking, or OIR, in March 2012. The  
25 Invitation to Participate, ITP, the Commission issued the

1 ITP in March this year. And the topics that were listed  
2 in the first phase, we posted those to seek comments and  
3 information on those comments, and received comments and  
4 information and data related to all the topics that were  
5 listed in the ITP. So today we are conducting its third  
6 workshop, so we're conducting a Lighting Topics Workshop,  
7 and the topics are LED Lamps, Dimmable Ballasts, and  
8 Multifaceted Lamps.

9 The next step is the Energy Commission will issue  
10 a Proposal Template on June 10th, and issue a Request for  
11 Proposal. Stakeholders, if they wish to submit proposals,  
12 can use the template, or stakeholders can use their own  
13 format to submit proposals. The RFP or the proposals will  
14 be due by July 25th.

15 With this, I would like to hand over the podium  
16 to Ken Rider, he is our Associate Electric Engineer and  
17 he's going to discuss the LED Lamps. Thank you.

18 MR. RIDER: All right, good morning everyone. My  
19 name is Ken Rider. I'm an Electrical Engineer with the  
20 Appliance Efficiency Program at the Energy Commission.  
21 You may have worked with Gabe Taylor in the past on this  
22 subject and other subjects in this presentation. Gabe  
23 Taylor has moved on to, at least temporarily, in an  
24 Adviser role and will not be at this time continuing the  
25 work on these efficiency projects. And Harinder and I

1 have split these projects; I've taken on LEDs and Harinder  
2 has taken on Dimming Ballasts and MR 16s, at least for the  
3 time being.

4           The purpose of this workshop, it's the last step  
5 of the Invitation to Participate process. We've received  
6 several comments in response to our Request for  
7 Information, and this workshop is an opportunity to  
8 discuss the responses we received. So these are some of  
9 the pieces of information requested in the ITP. These are  
10 some of the folks that responded specifically to the LED  
11 Request for Information, and I want to thank these people  
12 for taking the time to submit written comments to the  
13 Energy Commission.

14           So I'd like to begin by talking about the scope  
15 of what we mean when we're talking about LED lamps. The  
16 scope of LED lamps is fairly similar to the scope of  
17 things that are currently regulated, but only for  
18 incandescent lamps such as incandescent general service  
19 lamps and incandescent reflector lamps, screw-based lamps,  
20 and I think that's what we mean when we say today "LED  
21 lamps," not some of the other form factors.

22           So the way I'd like to go through this, this is  
23 really about getting further feedback from the  
24 stakeholders, it's not really for me to regurgitate all  
25 the things that we received in written comments, so the

1 way I like to run this is I'm going to read a couple of  
2 the pieces of information received and then state a few  
3 discussion questions, and then open it up to stakeholders  
4 -- first stakeholders in the room to respond to some of  
5 these discussion questions, or generally to the subject,  
6 in this case it would be Sales and Stock. And when folks  
7 respond, they can go ahead and respond to one, to both, or  
8 just generally to the topic at hand.

9           Once we get through the people in the room,  
10 we'll move to people on the phone. And for people on the  
11 phone, we'll let you know when the lines are unmuted, so  
12 that way you can know when to speak. There's also the  
13 possibility to submit responses or questions by chat, and  
14 we will read those into the record. Also, when you  
15 respond, please state your name for purposes of the  
16 transcript.

17           So Sales and Stock. The IOUs provided in their  
18 response some sales and stock figures for general service  
19 lamps -- all general service lamps and all reflector  
20 lamps. And these are national figures that I've put up  
21 here.

22           They stated that there are 4.39 billion general  
23 service lamps and they gave a breakdown of the market  
24 percentages; and I think these were 2010 market  
25 percentages showing only half a percent of the market

1 being LED. And for reflector lamps, they gave us  
2 information that there were just under a billion reflector  
3 lamps in the U.S., and 3% of those were LED.

4 For discussion: The IOU ITP response uses 2010  
5 information. What impacts has EISA had on this market  
6 share? So, you know, incandescent lamps now need to  
7 comply, especially general service lamps need to comply,  
8 with more stringent standards that were passed, and so how  
9 does that transform the marketplace? And also, are there  
10 any other trends that have changed dramatically over the  
11 last three years? Also, are LED lamps likely to displace  
12 both incandescent and CFLs in the market? So, you know,  
13 they may take on incandescent market share, but to what  
14 extent will they also take CFL market share?

15 And with that, I'll open it to folks in the room  
16 if you would like to respond to one of these two  
17 questions, or just generally to the Sales and Stock. Oh,  
18 yes, please raise your hand and we'll provide a wireless  
19 mic to you.

20 MR. BOESENBERG: Red is live? Oh, okay. All  
21 right, Alex Boesenberg, NEMA. I want to thank the  
22 Commission for having today's meeting. I want to respond  
23 to two of the questions there. What impacts has EISA had  
24 on the market shares above? As most folks know, but I'll  
25 state for the record, EISA isn't fully phased in, so not



1 all of those impacts have hit their effective dates, much  
2 less has the market shifted, and we share the  
3 consternation of trying to figure out where it's going;  
4 but until such time as the market has shifted, it'll be  
5 very hard to make those estimates.

6 But as far as some of those predictions, and  
7 it's in answer to the second question, are LED lamps  
8 likely to displace, I can say that in the recent interim  
9 technical -- or, wait, preliminary technical support  
10 document for the DOE's general service fluorescent lamp  
11 and incandescent reflector lamp rulemaking, they did have  
12 some predictions regarding LED market share and IRLs, at  
13 least. It doesn't -- that rulemaking doesn't address CFLs  
14 in their predictions, so unfortunately that's not there,  
15 it's linear fluorescent. But as far as IRLs go, the  
16 estimates from Lawrence Berkeley Labs, who did the data  
17 regression, says that will be completely displaced and the  
18 date, I think, is 2025, was it? Something like that? I  
19 don't remember, but it's in the public records and on the  
20 DOE's website, so that is a small data point, but  
21 nonetheless some slightly more recent information.

22 MR. RIDER: Thank you. Anyone else in the room?  
23 Go ahead after him.

24 MR. MCGARAGHAN: Okay, good morning. This is  
25 Mike McGaraghan with Energy Solutions, on behalf of the

1 California IOUs. And also just want to thank the  
2 Commission for hosting the workshop and for giving us a  
3 chance to go through some of this information.

4           You are correct here that this information  
5 submitted was based on 2010 DOE data and, interestingly,  
6 DOE just released another report a few weeks ago that has  
7 a lot of the same information updated to 2012. And we can  
8 summarize that and put it in a format into the docket, as  
9 well, but, just offhand, you do start to see some changes  
10 here that incandescent numbers did start to come down a  
11 little closer to 55% to 60%, I believe, and halogen went  
12 slightly up to about 1%, and LEDs went slightly up to  
13 about 1%, as well. So that report, I think, will do a  
14 really good job of filling in some of the gaps between  
15 2010 and 2012. And, like I said, we'll submit that.

16           In terms of the last question there, I think LED  
17 lamps are likely to displace both incandescent and CFLs to  
18 some extent, but certainly what we're aiming for in this  
19 effort is to ensure that LEDs are providing a level of  
20 service equivalent to incandescent lamps, so that's the  
21 target socket that we're trying to replace here, where  
22 this energy savings potential lies, and I think that's the  
23 issue that we are all here to discuss. Thanks.

24           MR. RIDER: Thank you.

25           MR. COOK: I do have some hot off the press

1 numbers.

2 MR. RIDER: Please read your name --

3 MR. COOK: This is Keith Cook from Philips.

4 NEMA just released some very interesting data, it was  
5 released actually on May 28th, and I'll just read what it  
6 says. It says, "NEMA's index for halogen A-line lamp  
7 shipments showed sharp growth during Q1 of 2013,  
8 registering an index level of 528.3, an increase of 127.1%  
9 on a year-over-year basis. In contrast, the incandescent  
10 lamp index retreated by 28.8% year on year to 40.2. The  
11 index of compact fluorescent lamps posted a reading of  
12 167.4, a marginal decrease from 168.4 during the previous  
13 quarter. However, the year-over-year comparison confirms  
14 shipments of CFLs are well below the 2012 level exhibiting  
15 a 6.3 decline." So, as you can see, we're seeing a huge  
16 impact from EISA on the market. As far as the LED lamps  
17 likely displacing both incandescent and CFLs, from  
18 Philips' perspective, we actually believe that's true, as  
19 many of you are aware. We're already seeing 28% of our  
20 lighting sales are LED-based, and we're expecting that  
21 number to grow to 80% by 2020. Thank you.

22 MR. RIDER: Thank you. Any other -- oh, go  
23 ahead, Noah.

24 MR. HOROWITZ: This is Noah Horowitz for the  
25 Natural Resources Defense Council (NRDC). I'd like to

1 address the second question there. Nobody knows the exact  
2 number of what the split will be, but it's pretty clear  
3 it's a three-way race both in terms of the A lamp  
4 replacements or the general service bulbs, where that's  
5 some flavor of an improved incandescent halogen, a CFL, or  
6 an LED. And LEDs are coming on, as just confirmed by my  
7 colleague from Philips. The big question I think why many  
8 of us are here and supportive of this standard is it's the  
9 price and quality of the LEDs that will determine how much  
10 energy savings we get from these products. Will people  
11 buy LEDs or the much lower cost, EISA compliant, halogen  
12 incandescent? So it's the price and quality that will  
13 dictate that.

14           In terms of tracking things, there's probably  
15 some confusion and hopefully we can use common language.  
16 The A lamps that have a halogen capsule inside them, are  
17 those incandescent or halogens? Different companies call  
18 them different things. But that's currently going to be  
19 the low cost bulb on the market that the LEDs will have to  
20 compete with. Thank you.

21           MR. RIDER: Thank you. Anyone else in the room  
22 that would like to respond to these items? Seeing none,  
23 Peter, can you go ahead and unmute the lines? So the  
24 phone lines have been unmuted if you'd like to speak to  
25 Sales and Stock, or any of the discussion questions,

1 please go ahead and speak. Okay, hearing no comments on  
2 the phone, I'm going to go ahead and move on.

3           So I'm going to show a couple -- I think these  
4 are also from the IOU comments, a few graphs that are  
5 found in their response to the Invitation to Participate.  
6 And then I have some discussion at the end.

7           So this is a graph that was found in their  
8 comment that shows the distribution of CRI in the market.  
9 I think this is using the Lighting Effects Database and  
10 this, as well, is using the Lighting Effects Database,  
11 showing trends and time of CRI in LEDs. It looks like for  
12 Omni-directional LEDs.

13           So IOUs' analysis of LED Lamps here shows that  
14 they are centered in the 80's, so the majority of LEDs  
15 have a CRI in the 80's, with at least overall upward  
16 trends for CRI and Omni-directional lamps.

17           Discussion questions: What are the market  
18 pressures driving CRI upwards? Directional lamps seem to  
19 be far more stagnant in CRI improvements. What is  
20 different about the market pressures in this market? Some  
21 responses suggest trading lumens for CRI; which is a  
22 larger driver of customer satisfaction? So if you can  
23 sacrifice brightness for Color Rendering Index, you know,  
24 where does that breakeven point -- how does that optimize  
25 for customer satisfaction?

1           With that, I will turn it over to the room. Go  
2 ahead.

3           MR. COOK: This is Keith Cook from Philips. I'm  
4 not sure that you've asked necessarily the right questions  
5 here. There is a bigger question, too, and that is what  
6 is the tradeoff between CRI and cost? We know that right  
7 now, as far as market adoption for LEDs, cost is the  
8 overriding concern. And as you drive CRI up, cost also  
9 goes up. And so it's going to inhibit market adoption.  
10 We're concerned with the higher CRI numbers.

11           We agree that there are many applications that a  
12 CRI of 90 or better is appropriate, such as in some retail  
13 applications, etc. But for the general lighting market  
14 such as in residential, 80+ is more than adequate. The  
15 problem we're faced with is there's been an overreaction  
16 to the poor CFLs that were available in the market in the  
17 past where the CRI was typically in the 60's, and as a  
18 result people got a very bad taste from those CFLs. The  
19 90 is, we believe, an over-reaction to that experience and  
20 that the market is actually showing that 80 is quite  
21 acceptable. Thank you.

22           MR. RIDER: Thank you. And I believe we will go  
23 into more of some of the costs of CRI later in this  
24 presentation. Any other comments in this room? Yes,  
25 please approach the podium.

1           MR. SILLEVIS-SMITT: So my name is Willem  
2 Sillevis-Smitt from SORAA. There is in most LED  
3 technologies, you could say that there is like a 15-20%  
4 lower efficiency when you go from 80 to 90 CRI; that could  
5 mean also a 10-15% or 20% lower output for comparable  
6 power consumption. We disagree with the comments that  
7 were just made by Philips. We believe that it's well  
8 documented both for consumer as well as commercial markets  
9 that CRI, at least for a substantial portion of the  
10 market, is an important factor for adapting energy  
11 efficient lighting. Because of the inherent trade-off in  
12 efficiency between higher and lower CRI, SORAA has  
13 proposed that there will be different lumen that's used  
14 for high CRI versus lower CRI.

15           MR. RIDER: Thank you. Anyone else in the room  
16 that would like to make a comment? Please.

17           MR. MCGARAGHAN: Mike McGaraghan for the  
18 California Utilities. I would like to echo a few of the  
19 comments just made by SORAA. We think that CRI is a very  
20 important metric and look forward in this rulemaking to  
21 exploring what that tradeoff point is. I do think it's a  
22 good question you're asking. I think there are a lot of  
23 instances where higher CRIs is very important to  
24 consumers, and I think we've seen that with CFLs. I know  
25 Philips just commented that poor adoption of CFLs was

1 linked to CRIs in the 60's, but a lot of CFLs have much  
2 better CRI in the 80's and we still haven't seen the type  
3 of market adoption that we would have hoped for from CFLs.  
4 It's been a very slow road for those, as most people know.  
5 You know, it took 30 years to get to market share, you  
6 know, wherever it sat, but 30% to 40% of sockets  
7 converted, which is an extremely slow market adoption, so  
8 we'd really look forward to further exploration of this  
9 question, and then the cost issue becomes very important.  
10 And I think you've got slides on that later, so I won't  
11 get too far into that. But just what I will get into is  
12 just the difference in the metrics here and the trade-off  
13 between lumens and CRI, there neither is a perfect metric,  
14 lumens is a measure of -- specifically Photopic lumens is  
15 a measure of total light output with a weighting factor  
16 applied to it that over-emphasizes light at 550  
17 nanometers, which is a greenish yellow light. So, sure,  
18 we want products that are bright, but if we put the  
19 emphasis too much on lumens, we're not considering the  
20 rest of the spectrum; and CRI is a metric that tries to  
21 emphasize the range of spectral distributions. So both  
22 are very important and I don't think we have a perfect  
23 answer today on what that sweet spot is, but we're glad  
24 that the Commission is looking into this and, as we wait  
25 and see what prices do and what the market does, we don't

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417



1 think consideration of 90 CRI should be out of the  
2 question. So far, 90 CRI has been a very small part of  
3 the market. So as that percentage of the market  
4 increases, we'll keep our eye on what's happening with  
5 cost, and cost may be coming down very quickly there, as  
6 well. So, thank you.

7 MR. RIDER: Thank you. All right, any other  
8 comments? Gary.

9 MR. FERNSTROM: Hi, everyone. This is Gary  
10 Fernstrom representing PG&E. PG&E believes that CRI is an  
11 important factor because we're interested in the greatest  
12 customer adoption and satisfaction with the progressively  
13 larger prevalence of LED A lamps. A key issue here is the  
14 cost. We believe from our experience working with Codes  
15 and Standards in California and at the Federal level for  
16 over a decade, probably 15 years, that when required by  
17 standards incremental costs are lower than what is  
18 estimated ahead of time. So we're expecting to be able to  
19 achieve the higher CRIs at minimal cost, making this a  
20 huge benefit for consumers in terms of better lamp  
21 performance. I'd also like to mention that the utilities  
22 sponsor voluntary rebate programs frequently for these  
23 kinds of products, and we're obliged to follow the rules  
24 of the California Public Utilities Commission. The CPUC  
25 has determined that A lamps for residential and small

1 commercial use, in order to qualify for rebates, must meet  
2 the specification of the California voluntary LED spec  
3 which the CEC adopted earlier this year. It has a minimum  
4 CRI of 90, so we're limited beginning next year in terms  
5 of the product that we can provide rebates for to only  
6 those products that exceed a CRI of 90. So it's  
7 relatively important for California CEC regulations  
8 affecting LED lamps to push the CRI to that level because  
9 the CPUC has given us a fairly limited conservative,  
10 pessimistic view of the energy savings of the LED lamps  
11 relative to the baseline. So if we want rebates to be  
12 successful in pushing this market, it's important that the  
13 state standards, as well as the voluntary standards align  
14 at a CRI of 90, which we believe in practice after  
15 implementation will have minimal incremental cost.

16 MR. RIDER: Thank you. Noah.

17 MR. HOROWITZ: Noah Horowitz, NRDC again. We at  
18 NRDC agree that some minimum level of CRI is needed to  
19 ensure consumers of a decent experience with their new  
20 LEDs and this is really part of a color quality issue and,  
21 although it's not on the slide, we think a minimum  
22 requirement for R9, which is the part of the spectrum that  
23 deals with the red colors, would also be appropriate. So  
24 we think the question is how high a CRI is good enough to  
25 ensure consumers have a good experience. Is it 80 or 90?

1 I think that will play out throughout this rulemaking. As  
2 we understand it, we think there are two ways to achieve  
3 the very high levels of CRI, one of them has a 10 to 20  
4 percent impact on efficiency, so the higher CRI bulb will  
5 use more energy than an equivalent bulb that gives off the  
6 same amount of light, and that can be done often at little  
7 to no incremental cost, or there's a way to do this where  
8 this is no efficiency hit, we're getting the same level of  
9 energy savings, but that's at a price increase of numbers,  
10 you know, 10 to 20 percent, we've heard, as well. Our  
11 advice would be to track the market carefully as a lot of  
12 new products will be coming, and we'll get a lot more  
13 information. We may well see several new products that do  
14 hit the CRI 90, and let's see what those actual  
15 incremental prices are, at least on the market are. Thank  
16 you.

17 MR. RIDER: Thank you. Any other --

18 MR. HOWLEY: Joe Howley with GE Lighting. After  
19 listening to the comments, my reaction is there really is  
20 no one right answer to the consumer with regard to CRI.  
21 CRI is a color metric, so it depends on what you're  
22 lighting in the space whether or not you can benefit from  
23 a higher CRI or not. So in some cases, consumers would be  
24 better off having a lower cost product with higher lumens  
25 in many applications because color simply isn't that

1 important in that particular application, and in other  
2 applications they may benefit from a higher CRI, but it  
3 should be really the consumer's choice as to whether they  
4 want to pay more money because it is true that, as you go  
5 with higher CRI, there will definitely be a tradeoff with  
6 higher cost and lower lumens. And that certainly isn't  
7 the right answer in all applications.

8 EPA has evaluated this with their ENERGY STAR  
9 program and decided that 80 CRI is the proper level;  
10 perhaps California could consider an option in that area,  
11 but I think it's important that we continue to provide  
12 consumers with choice on color and on CRI, and let them  
13 choose what the best product is for their particular  
14 application.

15 MR. RIDER: Thank you. Anyone else in the room?  
16 Go ahead, Keith.

17 MR. COOK: Keith Cook from Philips again. Just  
18 one quick comment. The Lighting Research Center at RPI in  
19 Troy, New York has done an extensive amount of research  
20 into CRI, especially with LEDs, and I would just ask the  
21 Commission maybe to take a look at some of the work  
22 they've done because it does show that we can be misled  
23 today with the existing CRI standard, so something to  
24 investigate.

25 MR. RIDER: Yeah, Keith, if you could, and also

1 for other folks, I think there's been several new studies  
2 by other folks, if you could email those details to me  
3 after this workshop, that would be great, so I can follow-  
4 up. Or, if you'd like to submit them in further written  
5 comment, that would be fine, as well. Anyone else in the  
6 room?

7 MR. GREENBERG: This is Richard Greenberg.

8 MR. RIDER: Okay, now to the phone, I suppose.  
9 Go ahead, Richard.

10 MR. GREENBERG: Yeah. I just have a couple of  
11 comments, that if we're just talking about Omni-  
12 directionals, or Omni-directionals and BR 30s, I think CRI  
13 is critical that it be of the higher CRI across the board.  
14 But when it comes to other types of products and  
15 applications, I think we would tend more to the use in  
16 non-residential installations, and therefore there would  
17 be much more specificity to the need, which may not  
18 include a high CRI. And so there should be some kind of  
19 exception for those types of products.

20 MR. RIDER: Interesting point, Richard. Thank  
21 you. Peter, is the line generally unmuted?

22 MR. STRAIT: The line is generally muted. And  
23 I'd like to just say, just as a instruction to people that  
24 are on the phone lines, you can mute and unmute your own  
25 phones. If there's not a lot of background noise where

1 you are and you'd like to make a comment, you can go ahead  
2 and unmute yourself, and when we move to the phone  
3 comments, you can go ahead and jump in as Mr. Greenberg  
4 just did. Afterwards, I'll be opening all of the phone  
5 lines to capture those people that aren't attending from  
6 their computers and can't unmute themselves. When I do  
7 that, I will be immediately trying to mute people that  
8 have a high level of background noise, so just be aware of  
9 that.

10 MR. RIDER: All right, so with that, any folks  
11 that can unmute themselves, go ahead and speak. Okay. If  
12 you could unmute all the lines? So all the lines are  
13 unmuted. Go ahead and speak if you have a comment.

14 MICHAEL MORIN: This is Michael from San Diego  
15 Gas & Electric. I'd like to ask all the people in the  
16 room on the call if there is market research data for Plan  
17 30 (ph) that determined the customer acceptance rate as a  
18 function of CRI and cost for some popular bulb such as  
19 Omni-directional A-19 by the 75 watt equivalent, or 100  
20 watt equivalent.

21 MR. RIDER: What was your last name, Michael?

22 MR. MORIN: Michael Morin, SDG&E.

23 MR. RIDER: Thank you. And you -- was that a  
24 question to everyone?

25 MR. MORIN: Yes, it was a question if there's

1 market research data for Plan 30 to collect customer  
2 acceptance rate for CRI as a function of cost for a  
3 popular bulb type, especially for Omni-directional A-19s,  
4 75 watt equivalent, or 100 watt equivalent.

5 MR. RIDER: So, Michael, I've asked everyone in  
6 the room here if there is additional information to go  
7 ahead and provide it to me. The purpose of this ITP is to  
8 get all of that information available to everyone on the  
9 Web, so if as a result of this meeting we receive  
10 something that answers your question, we'll be sure to  
11 forward it on to the Web, and share it with everyone.  
12 Also, if you shoot me an email, my contact information is  
13 at the end, we can try to follow-up on that question. Any  
14 other comments on the line?

15 MR. MCGARAGHAN: Mike McGaraghan again for the  
16 California Utilities. I wanted to make one more comment  
17 about tradeoffs in lumens and what is noticeable, and  
18 tradeoffs in CRI and what's noticeable. I think we would  
19 all benefit from further study of this, but in terms of  
20 how we consider these metrics from a lumen standpoint, in  
21 lighting design it's generally understood that the human  
22 eye doesn't even detect light output changes around 10 to  
23 15 percent, but when we're talking about CRI, if we are  
24 comparing 80 to 90, I think this is a point that was made  
25 at a prior workshop by Lorne Whitehead from University of

1 British Columbia, but 100 CRI is no color distortion and  
2 that's our starting point, that's the incandescent  
3 incumbent product. And as we reduce from that, we're  
4 increasing color distortion. So if you flip it and look  
5 at it from that perspective, 80 CRI is actually twice the  
6 amount of color inaccuracy or color distortion as 90 CRI.  
7 And anyone who has done a side-by-side comparison of 80 to  
8 90, you can pretty clearly see the differences, especially  
9 in redder colors and orange colors. It's just a different  
10 way of looking at the incremental change that we're  
11 talking about for CI versus the incremental change we're  
12 talking about for limits. Thanks.

13 MR. RIDER: Thank you. Did you go ahead and  
14 mute the phone lines?

15 MR. STRAIT: I did re-mute the lines when a  
16 person here speaks, I'll go ahead and unmute them again.

17 MR. RIDER: Please do. And thank you for muting  
18 it temporarily. Again, the lines have been opened. If  
19 you are on the phone and you would like to comment on  
20 this, please go ahead. Okay, not hearing anything, I  
21 think we'll move on to the next subject. And thank you,  
22 everyone, for this great conversation on CRI.

23 So Design Life and Duty Cycle. The IOUs  
24 submitted an estimate of lifetime of approximately 35,000  
25 hours for LED products and noted that five-year warranties



1 are somewhat common. ENERGY STAR requires three-year  
2 warranties. NRDC submitted that 25,000 hours was a fairly  
3 common life and suggested that the lifetime may actually  
4 be decreasing with time as folks try to decrease the cost  
5 of LED lamps.

6           So for discussion: To what extent do ENERGY  
7 STAR and the California LED specification lamps have a  
8 different lifetime from general LEDs? And also, will the  
9 rated lifetime drop to lower LED first cost? Would this  
10 lead to higher or lower lifecycle costs? And also, any  
11 other comments folks want to make on design life and duty  
12 cycle -- or, I guess there's not really much on duty cycle  
13 here, but design life. Please go ahead and I'm going to  
14 open it up to the room. Go ahead, Gary.

15           MR. FERNSTROM: Gary Fernstrom representing  
16 PG&E. We'd like to recommend that the CEC either enforce  
17 or add a requirement that lamps be marked with their date  
18 of manufacture because I don't save the receipts when I  
19 buy a light bulb, I don't think most people do, and it's  
20 kind of impossible to tell if a lamp fails, you know,  
21 whether it's before or after the three-year warranty. So  
22 our recommendation is that lamps be marked with their date  
23 of manufacture such that we can determine if products in  
24 the market are compliant with regulations in general when  
25 they're sold, and so consumers can determine whether

1 they're younger or older than three years, five years,  
2 whatever the warranty may call for. Thank you.

3 MR. RIDER: Actually, Gary, can you stay one  
4 more moment? So the California Energy Commission, when it  
5 does a Regulation or a Certification, one of the things  
6 that is generally required for anything that is in our  
7 database is that the manufacturer is marked on the product  
8 and also the date of manufacture is marked on the product;  
9 however, we also allow for things such as serial codes and  
10 other codes to replace the common what we would see as the  
11 date of, you know, the common date form. Would you  
12 recommend, then, are you recommending that the actual --  
13 that perhaps for this product we really want the date so  
14 that consumers would be able to determine the date of  
15 manufacture?

16 MR. FERNSTROM: Yes, that's the recommendation.  
17 Codes providing date of manufacture information are often  
18 difficult, if not impossible to interpret by those  
19 knowledgeable in the field, let alone consumers. So we  
20 would like to see the actual date of manufacture on the  
21 products.

22 MR. RIDER: Thank you. Go ahead, Keith.

23 MR. COOK: Keith Cook from Philips. I can  
24 attest to the fact that we have come out with a line of  
25 LED replacement bulbs that are at the 10,000 hour point.

1 We knew going in that they would not meet the ENERGY STAR  
2 requirements, but we also knew that the cost differential  
3 was so great that it would exceed the rebates available  
4 from ENERGY STAR, and therefore we decided to introduce  
5 them to the market and, although I can't give you numbers,  
6 the sales have been extremely robust of that product line.

7 MR. RIDER: Thank you. Anyone else in the room?  
8 Go ahead, Noah.

9 MR. HOROWITZ: Noah Horowitz, NRDC. We think  
10 for this proceeding that it's really important that we set  
11 a floor to ensure consumers, regardless of what brand or  
12 type of LED bulb they buy, that they have a good  
13 experience. And a key part of that we need to guard  
14 against is premature failure. If that bulb dies in the  
15 first year or two years, that's clearly unacceptable to  
16 consumers. And for the last 15 versus 20 years, I don't  
17 think that gets into the realm of consumers being  
18 dissatisfied and not coming back for an LED, and we think  
19 it's really important that we take a look at things like  
20 cycling and stress tests to make sure the electronics are  
21 robust, look at lumen maintenance so even the bulb is  
22 "still alive;" if it gives off a lot less light than when  
23 it did out of the box, that's a concern for consumers. So  
24 that's really important. I agree with Keith from Philips  
25 that first cost is also important and we are starting to

1 see some bulbs that are coming into the market at lower  
2 cost. We're not suggesting that the standard should be  
3 10,000 hours, but we think we should be open to  
4 potentially setting a number different than 25,000 hours  
5 as we better understand the tradeoff between first cost  
6 and also how that impacts the total lifecycle cost.  
7 Bottom line: a lot of consumers are overly driven by first  
8 cost, so we don't want to preclude adoption of LEDs by  
9 setting an extremely high lifetime. Thank you.

10 MR. RIDER: Thank you. Anyone else? Joe.

11 MR. HOWLEY: Joe Howley with GE. We agree  
12 there's a direct relationship between life and cost.  
13 Again, we think it's important to offer consumer choice,  
14 so if some consumers are buying a light bulb that they'll  
15 only burn a short amount of time because of application,  
16 it would certainly be better to be able to offer them a  
17 lower life, a lower cost product for that application.  
18 Other commercial applications certainly would want a  
19 longer life. The beauty or the benefit of LEDs is you can  
20 design them at a lot of different life and cost levels if  
21 you choose to do that, and I think California should allow  
22 flexibility, again, options in that area. In terms of a  
23 10,000 hour life, if we estimate the average life of most  
24 light bulbs in the home is about 1,000 -- or the average  
25 usage is about 1,000 hours a year -- that would provide a

1 10-year life, which for most products is more than  
2 acceptable residentially. You've got washing machines and  
3 dishwashers, you know, made only to last 10 years, hot  
4 water heaters, much bigger items. So 10 years certainly  
5 would be, I think, acceptable for a light bulb.

6 In terms of the date code comment, I would just  
7 say that manufacturers would need flexibility in that  
8 area. We understand how the current code is written and  
9 we believe that does provide us the flexibility that we  
10 need for these products. Different manufacturers have  
11 different needs from products that have different needs in  
12 terms of whether or not date codes or dates are marked on  
13 them. So, again, we would recommend maintaining that type  
14 of flexibility for these products. If needed, the date of  
15 manufacture can always be determined.

16 MR. RIDER: Thanks. Any other comments? Mike.

17 MR. MCGARAGHAN: Mike McGaraghan, California  
18 IOUs, again. I just have a point about the lifetimes that  
19 we're discussing here. As I understand them, these are  
20 all lumen maintenance values based on LM80 testing and  
21 then projections using TM21, in terms of IES standards.  
22 And my understanding of that test procedure is that it  
23 only accounts for lumen output over time and lumen  
24 depreciation and it does not account for any type of early  
25 failure. And if I'm off on that, I'd love to hear how

1 those test procedures incorporate early failure. But  
2 assuming they don't, I want to echo Noah's comment from  
3 NRDC that early failure is a key metric that is not  
4 captured if we talk about the lumen maintenance and we  
5 really encourage the CEC to look at various early failure  
6 metrics in a Standards setting. The European Union just  
7 adopted Standards last year that included two different  
8 types of requirements that are meant to address early  
9 failure, I think, though I haven't seen those test  
10 procedures myself yet, so I'd be interested to hear from  
11 others in the room if those metrics used by the EU are  
12 appropriate, or if early cycling is the best way to go,  
13 but one way or another we would be very supportive of  
14 metrics that get at early failure as opposed to just  
15 focusing on lumen maintenance.

16 MR. RIDER: So just to follow-up on what you've  
17 just said, do you feel that -- so you're saying measure  
18 something and make sure it meets that threshold; is that  
19 in place of, or instead of a warranty type of thing?

20 MR. MCGARAGHAN: No, I think it could be in  
21 conjunction with. The warranty is a good option if we  
22 can't come to agreement on an early failure metric, I  
23 would say, but both could work together, I think, pretty  
24 effectively.

25 MR. RIDER: Okay. And of course we'll

1 investigate throughout this process what makes sense, so  
2 it's not something we need to come to a conclusion --  
3 thank you very much for answering my question, though.  
4 All right, any other comments in the room?

5 MR. GREENBERG: This is Richard Greenberg.

6 MR. STRAIT: We still have commenters in the  
7 room, please be patient. Thank you.

8 MR. GREENBERG: No problem.

9 MR. SILLEVIS-SMITT: So this is Willem Sillevi-  
10 smitt from SORAA. One additional comment on lifetime and  
11 the time of testing required to prove that products last,  
12 for example, 25,000 hours. The time of testing comes to  
13 prove how it is, for example, specified in ENERGY STAR,  
14 comes out to 6,000 hours, which is almost a year. If you  
15 look at the pace of improvement and the energy reductions  
16 that can be achieved in lamps year over year, long life  
17 requirements and the testing that is associated with that  
18 have a delaying factor, or more efficient products or  
19 higher performing products coming to the market. So in  
20 that sense, having an option for lower life requirements  
21 on new products is definitely helpful to get innovation to  
22 the market sooner.

23 MR. RIDER: So just a follow-up question --  
24 \$6,000 per model?

25 MR. SILLEVIS-SMITT: Six thousand hours.

1           MR. RIDER: Six thousand hours to conduct the  
2 test?

3           MR. SILLEVIS-SMITT: Yeah.

4           MR. RIDER: Got it. Thank you.

5           MR. SILLEVIS-SMITT: And there is an option for  
6 preliminary testing, preliminary qualification at 3,000  
7 hours; however, when new LED types are used, you have to  
8 go to full 6,000 hours.

9           MR. RIDER: Thanks. Any other comments in the  
10 room? And then we'll get to the phone. Okay, go ahead on  
11 the phone.

12           MR. GREENBERG: Okay, this is Richard. I just  
13 want to make a comment that ENERGY STAR Draft 4 has not  
14 continued to support a 10,000 hour life. With the 3,000  
15 hour life testing, manufacturers can claim 25,000 hours on  
16 the packaging, if it doesn't pass 6,000 hours, it's  
17 delisted. But the idea within ENERGY STAR is that they do  
18 have a minimum of 15,000 listed, but generally everyone  
19 who passes 6,000 hours is going to have a 25,000 hour life  
20 rating, and even 3,000 hours, they'll have that.

21           MR. RIDER: Thank you. Peter, can you go ahead  
22 and unmute the lines? The lines have been unmuted. If  
23 you're on the phone and you want to speak to this, please  
24 feel free. Okay, not hearing any further comments, I'm  
25 going to move on to the next subject, which is LED Cost.



1           So in this case, we're talking about just  
2 overall LED cost trends. This is -- I forgot the actual  
3 source -- this was located in the IOU comment, but it is  
4 from several other sources and, as you can see, the cost  
5 of LEDs has come down dramatically over the last couple  
6 years, and this even has a projection for the next few  
7 years. So for discussion: Do these cost projections for  
8 LEDs expect static quality aspects? So this is a question  
9 about the data and the projections that have been  
10 released. There were other projections, as well, I think  
11 from CALPER, DOE, PG&E. As the cost comes down, is  
12 quality staying about the same? And by quality, I mean  
13 things such as warranty, CRI, and also energy efficiency.  
14 Are LED prices approaching a plateau as shown in the  
15 projections? Or are they continuing to really dive down?  
16 With that, I'll open it up to the room, anyone who would  
17 like to speak to either of these discussion questions.  
18 Keith.

19           MR. COOK: Keith Cook from Philips. What we are  
20 seeing is I think somewhat of a leveling off, but still  
21 not truly flattening out. The cost itself is not coming  
22 down significantly, but the energy efficiency is  
23 continuing to improve. And as it does so, the number of  
24 LEDs required per device is less, and so the cost of the  
25 final product comes down.

1           MR. RIDER: Thank you. All right, anyone else  
2 in the room? Okay, if you're on the phone, if you can  
3 unmute yourself first, try that. Okay, if you would open  
4 up the lines? Okay, the lines are unmuted if you'd like  
5 to speak to this, either these discussion questions or LED  
6 cost in general, go ahead. All right. I think we'll move  
7 on to the next topic, which is LED Efficacy, or the Energy  
8 Efficiency of Lumens per watt.

9           The IOUs submitted some interesting data.  
10 Again, I think this is using the Lighting Facts Database.  
11 This particular graph is for Reflector Lamps and they also  
12 produced -- I didn't put it in this presentation, but they  
13 also produced a similar graph for Omni-Directional Lamps.  
14 The IOU analysis shows an increasing divergence in the  
15 efficiency of LED lamps in both cases, and for directional  
16 lamps, the analysis predicts that efficiency is actually  
17 getting worse in the bottom of the market; as you can see,  
18 the trend line is downwards for those blue points at the  
19 bottom, with some products using five times the energy to  
20 produce a lumen. So it may be apples to oranges here, I  
21 would like to get some feedback on what's going on with  
22 efficacy. What is causing this large spread in efficacy?  
23 And are there LED Reflector Lamps that approach  
24 Incandescent efficacies? If you look here at the lowest  
25 point, that blue dot on 20 lumens per watt, that's getting

1 into incandescent territory, so I would also like to hear  
2 feedback on that. So with that, I will open it to folks  
3 in the room if anyone has any comments on this trend. Go  
4 ahead, Keith.

5 MR. COOK: Keith Cook, Philips. This is the  
6 first time I've seen that chart and I do find it somewhat  
7 surprising because on the reflector lamps right now, we  
8 see the market significantly in the commercial side  
9 converting to LED, and it ends up being an energy saving  
10 sale, and so you don't want to see a degradation in the  
11 efficacy of the reflector lamps, that is really where  
12 you're selling it at. So I don't understand the chart,  
13 myself.

14 MR. RIDER: Well, as you can see, the high end  
15 is also increased, so it's just this, you know, flashlight  
16 looking shape here where, you know, at the top end it's  
17 getting better, the middle overall average is getting  
18 better, but the bottom is falling out is what it looks  
19 like.

20 MR. COOK: Yeah, and what I don't understand is  
21 where are they selling that bottom?

22 MR. RIDER: I have no idea. Thank you, Keith.  
23 Noah.

24 MR. HOROWITZ: If you could put the chart back?

25 MR. RIDER: Sure.

1           MR. HOROWITZ: Noah Horowitz, NRDC. I think  
2 this chart clearly shows that there is a big gap in  
3 efficiency between directional lamp products and therefore  
4 it warrants a standard in California that would say lamps  
5 that don't meet a certain efficiency requirement, or their  
6 energy use, that's where we should set the bar. I think  
7 what might be confusing, and it might be worth peeling  
8 apart this data a little bit, let's take lamps of similar  
9 light output and see how they're doing, some of those data  
10 points might be the lamps that offer the least light and  
11 those tend to be less efficient.

12           MR. RIDER: Yeah. I've got a little bit of an  
13 apples and oranges concern here as well, Noah. So, thank  
14 you. Good point. Go ahead, Alex.

15           MR. BOESENBERG: Alex Boesenberg, NEMA. The  
16 Lighting Facts Database is a list of all listed products,  
17 it's a Truth in Labeling program, so I don't dispute those  
18 numbers, but I would caution that those lower efficacy may  
19 have no sales, they're just listed. You know, where are  
20 they selling them? Great question. I'm not sure they  
21 are.

22           MR. RIDER: Yeah. And maybe we can follow it  
23 up. I think they -- correct me if I'm wrong -- the model  
24 numbers are available in the Lighting Facts? Yes? Okay,  
25 so maybe we could follow-up and talk about that at a later

1 date. Any other comments in the room on either of the  
2 discussion questions? Go ahead, Mike.

3 MR. MCGARAGHAN: Mike McGaraghan, California  
4 Utilities. I just want to point out that another way to  
5 look at this data is to look at the distribution of  
6 products and by efficacy bin, and you can see that there  
7 are very few -- if you look at it from that angle, there  
8 are very few products at those low ranges of efficacy,  
9 most of the products, and that's why the average value is  
10 increasing. But a couple people mentioned that it would  
11 be helpful to look at a more granular set of data and we  
12 can do that. This also includes all directional lamps,  
13 including MRs and so splitting out this data by diameter  
14 would also help us get a better picture, and as Noah  
15 suggested lumen bins. So we can try to provide a little  
16 bit more granular picture of this.

17 MR. RIDER: That would be great. Let's solve  
18 this mystery. Thank you. Anyone else in the room? Okay,  
19 if you can unmute your line and speak to this, please go  
20 ahead.

21 MR. GREENBERG: This is Richard Greenberg again  
22 with Southern California Edison. We highly support an  
23 efficacy standard. We feel the manufacturers, when given  
24 a challenge to advance technology such as an actual  
25 equipment code, rather than a voluntary standard, will

1 meet that challenge. The entire premise on which the  
2 State of California bases its Codes is to increase  
3 efficacy in terms of providing more energy savings  
4 throughout the State of California, and --

5 MR. STRAIT: One second, I'm going to re-mute  
6 everybody and just unmute you to take care of the  
7 feedback.

8 MR. RIDER: Just hold on one minute.

9 MR. STRAIT: There we go.

10 MR. GREENBERG: All right. I'm really not in  
11 some kind of a stadium or anything. So what I was saying  
12 is that we very heavily support an efficacy standard  
13 across the board for any kind of LEDs in a non-voluntary  
14 code change because the challenge will be met by  
15 manufacturers, and you don't necessarily need to base the  
16 efficacy standard on what's available today because  
17 technology is advancing and this code won't be in effect  
18 until it does advance. So I don't think there's a problem  
19 being a little bit aspirational in a higher efficacy  
20 target for this code change, especially if you consider  
21 that right now ENERGY STAR is technology neutral and  
22 requires efficacy of a specialty bulb for LEDs, which is  
23 far below their technological ability. And the potential  
24 efficacy is much greater than it is now, so I just support  
25 a good efficacy standard that will drive manufacturers to

1 increase efficacy to take advantage of the opportunity to  
2 meet the state's goals for energy reduction.

3 MR. RIDER: Thanks, Richard. And I want to  
4 point out, you know, the discussion on what standards  
5 ought to be will continue in this proposal phase, today is  
6 more about the data, what's going on in market today. But  
7 I appreciate your comment. Anyone else? Well, let me  
8 finish the line -- does anyone else have any comments on  
9 the phone? You've been unmuted. Okay, thank you for  
10 being patient.

11 MR. FERNSTROM: Gary Fernstrom representing  
12 PG&E. We have a lot of folks interested in lighting in  
13 the room and I thought I would bring for everybody's  
14 amusement a couple of samples of the achievement we've  
15 made over the last 100 years, where we started from and  
16 where we are now. So we're working to get an incremental  
17 improvement and efficacy, but over the past 100 years  
18 we've made a lot of improvement and I have -- thank you,  
19 Joe -- a roughly 100-year-old General Electric light bulb  
20 here, carbon filament with an efficacy of in the order of  
21 2 to 3 lumens per watt. I'm going to be passing that  
22 around. And just to keep balance among some of the major  
23 manufacturers, I have this Philips L lamp which is pushing  
24 100 lumens per watt, and I thought the group might be  
25 amused seeing these. Thank you.

1           MR. RIDER: Thank you. You're going to need to  
2 submit those to the docket now. No, I'm just kidding.  
3 Thank you, Gary. Any other comments on this in the room?  
4 Otherwise, I'm going to go ahead and move on to the next.

5           And I think we already discussed this a little  
6 bit, I'm sorry this is a bit gray; I copied this I believe  
7 from SORAA's comment. But this characterizes some of what  
8 we were talking about earlier, which is the trade-offs  
9 between CRI and cost and actually efficiency and cost, as  
10 well. This was from the SORAA comment. This one is from  
11 the IOUs' comment, it shows the relative price relative to  
12 CRI and also relative to watts. But it looks like the gap  
13 is pretty constant across the watts.

14           So responses to the ITP indicate a fairly  
15 significant increase in cost for improving CRI. So for a  
16 couple discussion points: As the price of LEDs generally  
17 continue to decrease, which we saw in that graph that was  
18 really sharply going down, will the incremental cost for  
19 improved CRI decrease, as well? Kind of along that same  
20 curve? And will that reduce the incentive for  
21 manufacturers to balance CRI costs with decreased  
22 efficacy? In other words, if the cost comes down low  
23 enough for CRI, does that really negate the need to  
24 decrease efficacy to increase CRI? Another discussion  
25 topic: Should the incremental costs of improved CRI be



1 evaluated as a lifecycle cost, rather than a first cost  
2 due to associated decreases in energy efficiency? In  
3 other words, if you pay more for a lamp with higher CRI  
4 upfront, will you get a lower efficiency? If you end up  
5 using more energy, should that be accounted for in the  
6 cost of increased CRI? With that, I will open it up to  
7 comment in the room. Keith.

8 MR. COOK: Keith Cook from Philips. Gary  
9 brought along just a great example. The L Prize was a  
10 Philips product, 90+ CRI, like you said, almost 100 lumens  
11 per watt, and was in production here in the United States.  
12 At the same time, we came out with another lamp, same size  
13 and shape, a little bit less efficacy, and instead of 900  
14 lumens, it was producing 850 lumens, instead of 10 watts,  
15 it was 12.5 watts, and instead of 90+ CRI, it was mid-  
16 80's. We ended up discontinuing the L Prize, there was no  
17 market for it, people were not willing to pay the cost  
18 differential between those two products. The lower  
19 performing product was an overwhelming success and is  
20 still on the market today. The L Prize -- nice product,  
21 but no market for it.

22 MR. RIDER: Thanks, Keith. Any other comments  
23 in the room? Go ahead, Mike.

24 MR. MCGARAGHAN: Mike McGaraghan, California  
25 IOUs. Just in response to the last question there, we

1 would encourage the Commission to look at all of the  
2 metrics in conjunction, and if we are improving CRI and  
3 efficiency with standards, and if we compare the batch of  
4 products that meets the standard to a batch of products  
5 that don't meet the standard, there would be an efficiency  
6 -- an overall decrease in wattage when you consider all of  
7 the elements of the proposed quality spec together.

8 MR. RIDER: Makes sense. Thanks, Mike.

9 MR. SILLEVIS-SMITT: Willem Silleviss-Smitt from  
10 SORAA. So if you look at cost and CRI and efficacy, those  
11 three are sort of tied in a triangle and the harder you  
12 push one of them, the higher the cost goes. What we have  
13 seen in LEDs, not just in lamps but in many markets, is  
14 that LED adoption was in many markets, for example,  
15 traffic signal largely driven by LEDs getting sufficiently  
16 efficient to make sense, and once they made sense -- and  
17 Keith Cook already mentioned this -- once the LEDs get  
18 efficient enough, you can get the same output and the same  
19 efficiency with fewer and fewer LEDs by driving the LEDs  
20 harder and harder. And that's when the cost really starts  
21 to come down. I think what happens in, for example, the L  
22 Prize lamp, is that it's not only a high CRI lamp, but  
23 it's also an incredibly high efficiency lamp, and if you  
24 push both on the efficiency side and on the high CRI side,  
25 that's when you end up with very expensive products. For

1 this reason, we believe it makes sense that, if you say  
2 there is a higher standard for -- you could define the  
3 tier for higher CRI products and requiring a slightly  
4 lower lumen per watt, and then the cost differential can  
5 be relatively small. If you keep high CRI and low CRI  
6 product the same lumen per watt requirement, that drives  
7 always relative cost increases beyond just the decrease in  
8 efficiency of higher CRI LEDs. So that's why it makes  
9 sense. If you want to create a level playing field and if  
10 you want to give consumers a choice between high and low  
11 CRI at a comparable cost, it has to give somewhere, so  
12 it's either the lumen output or the lumen per watt, and we  
13 believe the lumen per watt might make the most sense.

14 MR. RIDER: Thank you. Any other comments?  
15 Gary?

16 MR. FERNSTROM: Just one last comment back to  
17 Keith. At least I was balanced -- I brought two lamp  
18 products, neither of which are still in production.

19 MR. RIDER: Okay. Thank you, Gary. On my note,  
20 I just wrote "joke." Noah.

21 MR. HOROWITZ: Noah Horowitz, NRDC. Hopefully  
22 the joke comment doesn't apply to my comments here,  
23 although that might qualify as a joke. I find it really  
24 interesting, we're in part of the Invitation to  
25 Participate, which is really a data request.

1 MR. RIDER: Right.

2 MR. HOROWITZ: We hear from one manufacturer  
3 there's a lot of value in going to high CRI, and in order  
4 to do so the lamp should be allowed to be less efficient;  
5 another manufacturer said we made the high CRI lamp and  
6 nobody bought it, so we're going for a lower CRI bulb, and  
7 that's the one that consumers are demanding, so it would  
8 be great if there's any market research that the  
9 manufacturers have that can show whether or not consumers  
10 are valuing the high CRI. Clearly at least one company is  
11 going in that direction and I'm assuming there is some  
12 basis behind that and we'd love to see that. Thank you.

13 MR. RIDER: Thanks, Noah. And I obviously would  
14 like to second that request, that in order for us to  
15 really do the right thing and make good policy, we need to  
16 understand what's going on in the market to get to the  
17 right place, and understanding what's been done in the  
18 past is certainly a key part of that. So if there is  
19 available information, we certainly would love to review  
20 and understand that information. Any other comments in  
21 the room? Okay. If you're on the phone and you can  
22 unmute yourself, go ahead and do so and feel free to  
23 speak. Okay, Peter, if you can unmute the lines? Your  
24 lines have been unmuted. If you're on the phone or on the  
25 computer and would like to comment on this, feel free.

1 All right, I'll move on to the next subject.

2           So this is the last opportunity for comment on  
3 LEDs. This General Comment section, you know, there were  
4 a lot of comments received about a lot of different  
5 subjects, I didn't cover them all in this presentation  
6 today, but I've provided this slide as an opportunity to  
7 comment on any of the information data received in the  
8 Invitation to Participate on LEDs. So if you'd like to  
9 comment on kind of any of the subjects that we asked  
10 about, or that we received data on, please feel free to do  
11 so at this time. Anyone in the room. Go ahead, Alex.

12           MR. BOESENBERG: Alex Boesenberg, NEMA. I had a  
13 comment that's been brewing for the last 20 minutes and  
14 wasn't sure where to put it; General Comments sounds about  
15 right. A lot of the points that have been made are  
16 related to not only energy, but also consumer  
17 satisfaction. And there's a growing concern in industry  
18 and in my member base of the lighting manufacturers that  
19 regulatory and incentive bodies are getting deep into  
20 consumer satisfaction issues. And while we share concerns  
21 of consumer satisfaction, and you want people to buy our  
22 products and want them to buy more of them, there's also  
23 the concern of treading into areas which deal with free  
24 market and competition between manufacturers, the desire  
25 of certain companies to stress certain aspects among their

1 products, "ours go to 11, ours are purple, ours have two  
2 inputs always," whatever, I'm making that up. We've taken  
3 very strong concerns to the EPA and, in fact, we're  
4 meeting with them later in June to raise it again, on what  
5 we call in the ENERGY STAR realm non-energy attributes --  
6 consumer satisfaction. We're driving the lumens per watt  
7 to the point that it's very hard to find the top tier, so  
8 now EPA in the lamp spec, which has been mentioned many  
9 times here, so I'll pick on them, the lamp spec has become  
10 a happy spec, a lot of the new areas are not energy  
11 specific. And we understand that the point of that, as  
12 the EPA put out in their 2012 Strategic Guidance and  
13 Principles document, was they want people to not only save  
14 energy with the ENERGY STAR product, they want them to  
15 like it so much they buy another one. And, I already  
16 said, we understand the desire for repeat sales and the  
17 need to get the rest of those sockets in the house, but  
18 when you drive the satisfaction areas, when you add more  
19 and more criteria to a product requirement, what obviously  
20 happens is commoditization because you end up with only  
21 one or two ways to meet those requirements in terms of  
22 design. We've raised the IP issues with the Energy  
23 Commission before, not in lighting, and that's a real  
24 error. Once you come up with a very strict way -- very  
25 strict requirements can only be met a certain way -- not

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 only do you run into commoditization and the reduction in  
2 performance and choice, you also run into IP. So we would  
3 caution the Energy Commission to bear that in mind and  
4 just stress that it is the Energy Commission -- we're  
5 talking about energy savings here. I would point out that  
6 somebody mentioned that ENERGY STAR is tech neutral --  
7 it's not tech neutral yet -- that is the spec that is in  
8 its fourth draft and there may be a fifth, and every time  
9 we think we're finished we're not, and it has to do with  
10 those non-energy attributes. And I would also stress or  
11 ask you, Ken, to clarify or affirm that the Title 20  
12 Appliance Regulation is about the minimum performance,  
13 right? It's about good enough. And there are other  
14 specifications such as ENERGY STAR or, in this case, as  
15 was mentioned by Gary, the California LED Quality spec,  
16 which is a very high performance spec, and we made the  
17 point at the last hearing there's not a product alive that  
18 will meet it right now, or there wasn't at the time. The  
19 L Prize Lamp, gosh, they spent a lot of money on that --  
20 or Keith -- it doesn't meet the LED Quality spec. That to  
21 me seems like a problem. And I won't belabor it because  
22 we've voiced that before, but I would stress or beg the  
23 Commission to bear in mind, and restate for everyone here,  
24 we're talking about the threshold -- Noah used that term  
25 -- the floor where we want, as we move forward, and I know

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 that's not the topic today, as we move forward I thought  
2 we're setting the floor and that is, yes, it's low. And I  
3 know when I was in my previous position at NEMA and we  
4 wrote SSL4, the minimum screw base lamp requirements, 1) I  
5 haven't found anyone who will endorse that standard  
6 outside of NEMA because no one wants their name on a  
7 minimum quality spec, and 2) that spec took me two solid  
8 years of pounding just to get it through NEMA because,  
9 again, a lot of members didn't want their name on a  
10 "floor." I understand first-hand emotionally and deeply  
11 the aversion to being associated with a floor, but that's  
12 my understanding of what Title 20 does, and there are  
13 other specs for high performance. I want to differentiate  
14 those.

15 MR. RIDER: Yeah. Thanks, Alex. And I'll go  
16 ahead and speak a little bit to that. So mandatory  
17 standards we currently have are, as you said, floor  
18 standards, especially efficiency standards, they're the  
19 minimum performance something needs in order to be able to  
20 be offered for sale or sold in the State of California.  
21 This particular -- and I'll get to this actually in the  
22 next slides -- this particular process and the Request for  
23 Proposal stage will include those kinds of floor  
24 standards. We're also hoping to design it such that we  
25 can do other things than mandatory standards, perhaps work



1 on educational opportunities that we can work on, and the  
2 LED specification you reference, that's a voluntary,  
3 that's not a mandatory requirement. So the Energy  
4 Commission is kind of looking at other tools in its belt  
5 beyond just the mandatory standards, but certainly still  
6 looking at mandatory floor standards, as well. And as you  
7 referenced Title 20, Title 20 is a mandatory kind of floor  
8 standard. There's also a few products where we test and  
9 list, there's also some labeling requirements we have in  
10 there. Any other comments? Mike and then Noah.

11 MR. MCGARAGHAN: Mike McGaraghan, California  
12 Utilities. I just ordered two Cree A Lamps from Home  
13 Depot online last week, and they were both 2,700 Kelvin  
14 when I placed the order and the box showed up and inside  
15 was one 5,000 Kelvin lamp and one 2,700 Kelvin lamp. And  
16 of course being a lighting geek, I noticed right away, I  
17 didn't have to put it into the fixture to find that out,  
18 but most consumers are not going to notice that, they're  
19 going to install two lamps and see that they're wildly  
20 different colors, and one of them is much whiter and  
21 brighter than they'd hoped for. So I'm not trying to  
22 raise that to start a discussion about color temperature  
23 specifically, I'm just using it as an anecdote to talk  
24 about the tradeoff between allowing a lot of consumer  
25 choice and sharing high quality. In the color temperature

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 example, that's not a great example because there are  
2 applications where consumers would actually prefer 5,000  
3 Kelvin, but for a lot of these other quality perimeters,  
4 there have been comments today that we should allow this  
5 range of choice, and I would speculate that consumers are  
6 not on the whole savvy enough to take advantage of those  
7 choices in the residential sector. You'll end up with  
8 consumers who get products that don't perform how they  
9 expected if there is too big a range in that choice. So I  
10 understand the argument, I just think there's a middle  
11 ground. And so that's our perspective that a lot of these  
12 metrics are perfect for standards because there is no  
13 specific need for a lower performing product. Thanks.

14 MR. RIDER: Thank you.

15 MR. MCGARAGHAN: Oh, sorry, I meant to mention  
16 one other thing, too, that we tried to pull together a lot  
17 of this data for the ITP, but PG&E is currently funding a  
18 lot of LED lamp testing at the CLTC, and some of that  
19 didn't get wrapped up in time for the submittal, but it  
20 should be wrapping up in the next four to six weeks and a  
21 lot of pieces of that testing should really help this  
22 effort, and specifically they're doing a lot of dimming  
23 testing on different dimmers, looking at how lamps  
24 perform, looking at flicker, looking at compatibility with  
25 dimmers, and a number of other elements hopefully will

1 make it into that testing that we weren't able to submit  
2 last week, or two weeks ago. So we'll provide that as  
3 soon as we can.

4 MR. RIDER: Thanks. And that reminds me, we're  
5 going to be open to data throughout this entire process.  
6 I don't know if I stated this in this presentation, but  
7 we're always looking for data at any stage of this  
8 process. Obviously, the Invitation to Participate was a  
9 data intense process really focused on data, but  
10 throughout this entire rulemaking and pre-rulemaking and  
11 proceeding we're always open to data, and don't ever think  
12 that it's too late to provide that to us. Noah.

13 MR. HOROWITZ: Noah Horowitz, NRDC. I think  
14 we're all in agreement that the purpose of this potential  
15 standard would be to ensure consumers have a good  
16 experience with LED lamps, and then as the process moves  
17 forward the question is how high should that floor be, and  
18 there might be different opinions within the room. But I  
19 think the common goal is people try the LED, they like it,  
20 and we can continue to see increased adoption of LEDs  
21 which may well likely be the most efficient lamp on the  
22 market and we could harvest even greater savings and meet  
23 many of California's policies related to energy use and  
24 carbon savings. Alex from NEMA mentioned concern that  
25 we're diving too deep into consumer satisfaction, and

1 there's probably some sweet spot there, but I want to  
2 point out that we already have Federal legislation that  
3 deals with the quality of CFLs, we have in particular  
4 during the Enron era, everybody was rushing to get CFLs  
5 out there, they put them in and six months later they  
6 died, and that really hurt many of us for a long time in  
7 terms of people willing to move towards CFLs. So there's  
8 a Federal standard that's based largely on the greatest  
9 hits of ENERGY STAR 2, and NEMA supported that, as well.  
10 So there is a history of the industry supporting consumer  
11 satisfaction, not just efficacy for lamps. I want to  
12 point out that there are a couple of other metrics or  
13 aspects that weren't included today in the conversation  
14 that I want to at least put out there, that we at NRDC and  
15 hopefully others will address in their subsequent  
16 proposals, one is dimming. If a lamp is marketed as being  
17 dimmable, we think it should dim -- that gets to the basic  
18 consumer satisfaction issues. How far down do you need to  
19 dim? And then, when it is being dimmed or operated,  
20 connected to some dimming circuit, there shouldn't be  
21 objectionable hum and flicker. And that's another big  
22 consumer dissatisfaction, and I think a lot of the spec,  
23 besides how efficient the bulb is, it should be on these  
24 issues that we want to get rid of things that turn off  
25 consumers to LEDs, so one is making sure if they are

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 marketed as dimmable, that they dim, and they do it in a  
2 way that's a good experience. Also, we think if someone  
3 is making an equivalency claim, just like ENERGY STAR has  
4 guidance, the Federal lamp labeling doesn't include this,  
5 so if you say it's brightness is a 60 watt bulb, let's  
6 ensure that that bulb is roughly as bright as the old 60  
7 watt incandescent. While we all would like consumers to  
8 buy based on lumens, the reality is they're not there yet,  
9 so make sure the bulb is as bright as promised, in other  
10 words. And that ties into equivalency claims.

11 Another issue is, whether it's 1 in 4, or  
12 whatever the right number is, fixtures in people's homes  
13 are "enclosed fixtures" where there's some sort of glass  
14 enclosure, and those tend to be a higher temperature  
15 environment that's harder on the bulbs, and I just went to  
16 Home Depot and all of the bulbs in the Home Depot main  
17 lighting aisles say "not to be used in enclosed fixtures."  
18 So we need to find a way to address that in the  
19 specification here, as well. Thank you.

20 MR. RIDER: Noah, before you leave, so you  
21 mentioned that equivalency isn't in the Federal lamp  
22 labeling. Is dimming? Dimming marking? No?

23 MR. HOROWITZ: No.

24 MR. RIDER: Okay. Thank you. Gary.

25 MR. FERNSTROM: Gary Fernstrom representing

1 PG&E. I'd like to make a comment spinning off Mike and  
2 Noah's point. Earlier, Joe made the point that we should  
3 let the market decide, largely let consumers choose what  
4 products they like to buy, and Keith made the point that a  
5 lower cost product that may be compromising a little in  
6 performance largely outsells a very high performance lamp  
7 that is more costly. And I think, in finding a balance  
8 between efficiency and performance, we need to appreciate  
9 that, as much as we'd like consumers to really understand  
10 lighting, it's a difficult task to educate all consumers  
11 such that they do. But consumers definitely understand  
12 price, so the market left to its own means is usually  
13 going to find some consumers buying a low price product  
14 that they'll get home and ultimately be dissatisfied with.  
15 So as Noah said, our objective here is to reach a good  
16 balance between price performance and acceptability. And  
17 I don't think the market left to its own means really can  
18 do that very well because it will drive itself to the  
19 lowest price and the poorest quality. However, supported  
20 by reasonable standards, we can assure that consumers get  
21 reasonable performance at reasonable price.

22 MR. RIDER: Thanks, Gary. And it almost sounds  
23 -- yeah, go ahead, Pekka. It seems like we're almost  
24 talking about, instead of satisfaction, extreme customer  
25 dissatisfaction that we're trying to avoid here, so not

1 trying to make it the best lamp ever, but trying to make  
2 sure that some of the really -- some of the worst stuff  
3 doesn't get in there where people remember it forever, how  
4 terrible LED lamps were. Go ahead, Pekka.

5 MR. HAKKARAINEN: Pekka Hakkarainen, Lutron. I  
6 just wanted to respond to Noah's comment on dimmable lamps  
7 a few minutes ago. Industry has done a great deal of work  
8 in this area and I would like to draw your attention to  
9 recently published NEMA XSL7A --

10 MR. RIDER: Can you say that slower? NEMA what?

11 MR. HAKKARAINEN: XSL7A Standard.

12 MR. RIDER: 7A?

13 MR. HAKKARAINEN: Yeah. That speaks to the  
14 compatibility between lamps and dimmers, so if you are  
15 moving in this direction in the specifications, then I  
16 would certainly request that you keep us involved in that  
17 process. Industry is very interested in that particular  
18 topic. In addition to that, of course, the ENERGY STAR  
19 specification Draft 4 has language on dimmer and lamp  
20 compatibility. I would not like us to diverge between  
21 different agencies.

22 Secondly, as I was listening to the conversation  
23 earlier, I wanted to just clarify that my understanding is  
24 that the minimum mandatory standards that we are talking  
25 about in Title 20 require products to be technologically

1 feasible and economically justified. So would you clarify  
2 for us what technologically feasible means? Does it, for  
3 example, mean currently commercially available?

4 MR. RIDER: Thanks, Pekka. Yeah, we'll respond  
5 to that. Well, first of all, let me say our Proposal  
6 Template will be providing further guidance on the aspects  
7 necessary to meet the requirements in the Warren-Alquist  
8 Act cost-effectiveness, technical feasibility. In the  
9 past, technical feasibility has taken a few different  
10 forms, but it means that you can make this product, and  
11 that's really what it means. And of course, that kind of  
12 is covered in cost-effectiveness, as well, because if you  
13 can't make it, it can't be cost-effective either. But  
14 it's really -- sometimes, depending on the product, we get  
15 into more depth, like can manufacturing be ramped up in  
16 time for whenever the standard may come into effect? So  
17 it covers a broad array -- it's not even just that it's  
18 available somewhere, sometimes we look at things like  
19 ramp-up rates and a broad array of issues. We want to  
20 make sure that we don't do something that then kills a  
21 marketplace, that no one can meet it; really, it's to  
22 avoid emptying the shelves of some product, it has to be  
23 able for manufacturers to have to be able to do it so that  
24 there are products available at the end of the day,  
25 otherwise we essentially would be eliminating product from

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417



1 the market altogether. Go ahead, Keith.

2 MR. COOK: Keith Cook from Philips. Just a  
3 quick comment or observation. This discussion so far  
4 almost comes across as being the manufacturers versus  
5 others, and I don't think that's really true. I think  
6 we're all on the same team here, in fact, generally  
7 speaking we use California's Title 20 and 24 as examples  
8 of how energy standards should be in place, especially  
9 when we're on the Hill talking to Federal Legislators. So  
10 the thing is, though, as maybe Joe pointed out, is where  
11 do we establish that floor is really the key point, that's  
12 the only issue here. We also agree with establishing a  
13 floor, as was pointed out. We actually developed SSL4  
14 which was a NEMA proposal on a minimum performance  
15 standard for SSL products. And for whatever reason, we  
16 have had trouble getting it adopted on a Federal level.  
17 But, again, it may be very applicable in California as  
18 something to consider.

19 MR. RIDER: Yeah, Keith, and again everyone is  
20 welcome to submit proposals in this phase, so since you  
21 guys have done that hard work, we'd love to see a proposal  
22 from NEMA or anyone. Any other comments in the room?

23 MR. STEVENS: Charlie Stevens with the Northwest  
24 Energy Efficiency Alliance. Today I think I'd like to  
25 just say a word here on behalf of the earth. We're all --

1 Keith is right, we're kind of all on the same boat here,  
2 we all depend on the earth utterly for our existence.  
3 About a year ago or so, I bought a reflector lamp by one  
4 of the manufacturers here in the room that I am pretty  
5 pleased with, and I noted as I installed it that it was  
6 heavy enough to probably bludgeon someone to death with  
7 it. I understood why, but the amount of aluminum in there  
8 was surprising to me. And I guess what I would like to  
9 urge the Commission to at least consider here is that not  
10 all consumer attributes are equal and that lifetime  
11 actually matters. Year ago I modeled all of this on a  
12 planet-wide scale and discovered that the biggest factor  
13 that caused the system to fail was the rate at which we  
14 threw things away. And that's still true. I would  
15 suggest that lifetime actually matters on a lifecycle  
16 energy basis, and I don't know whether the Commission is  
17 able to actually look at that aspect of energy use in the  
18 deliberations here, but given the amount of resource that  
19 typically goes into a solid state product, and  
20 particularly one with the amount of cast aluminum that's  
21 in some of these products, I think lifecycle resource  
22 consumption is a very important issue. And short lifetime  
23 is a very bad attribute in that regard. And I would urge  
24 the Commission to at least weigh that. Almost none of the  
25 energy that is used to do that casting of aluminum is

1 priced in the marketplace directly, the impacts of it are  
2 not priced. Depending on where that aluminum was cast,  
3 the impacts on the climate are radically different and not  
4 priced in the marketplace, and I suspect that even the  
5 part that is priced, the aluminum casting electricity was  
6 probably half the cost or less of the electricity that  
7 we're talking about saving. So I don't know why that's  
8 true, or why you can justify that. But in any case, I  
9 would suggest that the Commission, to the extent it can,  
10 take lifecycle energy use into account in these products  
11 when they look at things like lifetime.

12 MR. RIDER: Thank you, Charlie. And of course,  
13 I think the more information we can get to better do that  
14 would be critical, I think we'd have a tough time doing  
15 that out the gate and would need more data, but I think  
16 that historically we've looked at every aspect that  
17 stakeholders raise, and we also look more broadly at  
18 environmental impacts to the State of California, and we  
19 even do environmental assessments on the impacts on things  
20 for every regulation we issue, we do CEQA analysis on it.  
21 So the more information you can provide on that, I think  
22 we are very interested in looking at that aspect. Any  
23 other comments in the room? Anyone on the phone, if you  
24 can unmute yourself and go ahead and speak? Okay, Peter,  
25 can you unmute the lines?

1           MR. BAKER: This is Jim Baker. I hope you can  
2 hear me. I am representing [Freescale Semiconductor](#) in AC  
3 (indiscernible) which haven't been mentioned so far in a  
4 design approach. They have simplified drivers without the  
5 (indiscernible), which means that they can be more  
6 compact. LEDs do have flicker at 120, but this is in the  
7 invisible region where it is respectable and it's  
8 respectable in many applications. Response to flicker in  
9 this invisible region above about 70 Hertz is not well  
10 understood. So the newer versions of AC LEDs have  
11 improved optical wave form which broaden the optical wave  
12 form and reduce invisible flicker at 120 Hertz. We would  
13 urge the California Energy Commission to (indiscernible)  
14 so that the customers can use the best product in each  
15 application. And I would just like to weigh in on this  
16 discussion that's been going on here about the consumer  
17 choices. There are many areas where consumers are quite  
18 capable of making intelligent choices. When you think  
19 about cell phones, for instance, cars, all sorts of  
20 things, the trouble that we face in lighting is that so  
21 very long there was just one choice and customers --  
22 consumers didn't have to think about it too hard. And  
23 they have fantastic dimming and they have fantastic color.  
24 And I think one thing we can be thankful for right now is  
25 our CFL friends because they have started the consumers

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 down the path of learning that they do have to think about  
2 these tradeoffs in lighting. And I think we're  
3 underestimating the consumers if we think that they can't  
4 learn to make these intelligent decisions over the next 10  
5 years as LED come in. Thank you.

6 MR. RIDER: Thank you. All right, any other  
7 comments on the phone? Okay, hearing none, I'm going to  
8 move on.

9 So Next Steps. So this concludes the ITP  
10 process for LED Lamps. So we're moving now into a Request  
11 for Proposal phase. We've already released a schedule for  
12 the Request for Proposals, it will run from June 10th to  
13 July 25th. We will be issuing a Proposal Template and  
14 guidance, which will go into things such as cost-  
15 effectiveness, electricity rates, a lot of background  
16 information necessary so that we can evaluate everyone's  
17 proposals on an equal footing and make sure that we've got  
18 everything that we need to kind of make some policy  
19 decisions on what we want to do to improve energy  
20 consumption in the state.

21 Obviously, the ITP, we've put everything on the  
22 Web, you can use any of that information as a source to  
23 create these templates, and also any additional  
24 information you can gather is welcome to be included in  
25 the proposals as background.

1           I want to really emphasize Commission staff are  
2 available to discuss any questions about any part of this  
3 process and certainly proposals as they're being developed  
4 over this time period. In this case for LEDs, I'm at  
5 least for now the contact person for this subject. So  
6 just to give you -- if you've seen this graphic before,  
7 we've moved past this nice green square of the Invitation  
8 to Participate and we're moving into this Request for  
9 Proposals. Again, this is my contact information. Feel  
10 free to contact me at any time -- during business hours,  
11 of course -- you can leave a message, I'll get back to  
12 you. I'm probably not going to be here at 6:00 a.m.,  
13 sorry. Anyways, thank you very much. And I think we now  
14 have -- the agenda shows a break. It is exactly what time  
15 we're supposed to end this at and we'll be moving into a  
16 break. It's 10:47, it looks like we expect people back  
17 here at 11:00 a.m., so feel free to meander or use the  
18 restrooms. The restrooms are around the corner on that  
19 side. If you want coffee or a snack, go up the staircase,  
20 it should be to the left side when you get to the top of  
21 the staircase. Thank you very much.

22   (Break at 10:46 a.m.)

23   (Reconvene at 11:04 a.m.)

24           MR. SINGH: All right, welcome back. This is  
25 Harinder Singh again. So I am presenting the Dimmable

1 Ballasts.

2           The purpose of the workshop is the Commission is  
3 gathering information to determine how to proceed with the  
4 Dimmable Ballasts in Phase 1 of the OIR. So during this  
5 session, we will discuss the information and data  
6 we have received from the stakeholders related to the  
7 Dimmable Ballasts.

8           We have received comments from the response to  
9 the ITP from the stakeholders, and we want to thank all  
10 the stakeholders for submitting their comments. And it's  
11 helpful for us to look at the comments and look at the  
12 data there. So thank you again for submitting the  
13 comments.

14           The information requested in the ITP was the  
15 definition scope, test procedure, sales data and stock,  
16 and the design life and the duty cycle of the product, and  
17 the cost of the product. And we have received some  
18 information and we hope that we will get all the rest of  
19 the information when we get the proposal; that is probably  
20 July 25th or afterwards.

21           You know, one of the issues raised in the  
22 comments and the information submitted was the preemption  
23 issue related to the Dimmable Ballasts, and the IOUs state  
24 in their response that, in the subsequent updates to the  
25 Fluorescent Ballast Standards, scope definition has

1 explicitly excluded Fluorescent Ballasts dimmed below 50  
2 percent, full output from the scope of the coverage. And  
3 in contrast, NEMA has provided their response, and they  
4 have mentioned that the U.S. Department of Energy included  
5 Fluorescent Dimming Ballasts within the scope of the Final  
6 Rule of October 28, 2011, the 10 CFR §430.32. Quote:  
7 "(10) Each fluorescent lamp ballast (i) Manufactured on or  
8 after November 14, 2014; (ii) Designed (A) To operate at  
9 nominal input voltages of 120 or 277 volts; (B) To operate  
10 with an input current frequency of 60 Hertz; (C) For use  
11 in connection with fluorescent lamps as defined in §430.2;  
12 and (D) For dimming to 50 percent or less of the maximum  
13 output of the ballast."

14           So since we have this information, we'd like to  
15 open this discussion for you to comment on that comment.  
16 So if you could please come up.

17           MR. YOUNG: Hi. I'm Daniel Young with Energy  
18 Solutions on behalf of the California Utilities. I'd like  
19 to also thank the Commission for the opportunity to have  
20 this workshop and for us to clarify our comments.

21           So with this preemption issue, the language in  
22 the Federal Code is actually very clear, so this is  
23 Section 10 that NEMA has pulled out, and it does define  
24 fluorescent ballasts that do dim below 50 percent, but  
25 this is actually referring to a very specific subset of



1 those ballasts. So the actual standard language for  
2 fluorescent ballasts is actually defined in Section 8, and  
3 Section 9 very clearly states that a ballast that is  
4 designed for dimming to 50 percent or less of the maximum  
5 output of the ballasts, except for those defined in  
6 Section 10 are exempt from those standards. And the  
7 ballasts that are defined in Section 10 apply very  
8 specifically to -- I can give you a list here -- it's  
9 1F34212 lamp, 2F34212 lamps, 2F96212ES lamps, and 2F96T12  
10 High Output/ES lamps. So aside from those very specific  
11 T12 lamps, dimming ballasts designed to operate T-8 lamps,  
12 any other lamps that do dim below 50 percent of maximum  
13 output are not covered in Federal Standards, and so we do  
14 not see preemption as a concern for those products.

15 MR. SINGH: Okay, thank you. Anybody else in  
16 the room? Okay.

17 MR. STRAIT: For those that are attending  
18 remotely, after we check for comments in the room, we will  
19 then check for comments for our remote attendees. If  
20 you're attending from a computer, you do have the ability  
21 to mute and unmute your own line. We would ask first that  
22 people unmute their own line if they would like to speak;  
23 afterwards, we will be opening all the phone lines and  
24 hopefully there won't be too much noise for those that are  
25 attending solely by phone, and that will be your

1 opportunity to comment or speak on a topic. Thank you.

2 MR. SINGH: Peter, could you please open the  
3 lines for the comments? If anybody has a comment, please  
4 go ahead. Okay, it seems like no comments, so I'm going  
5 to move to the next slide.

6 The next slide is about the Sales and Stock  
7 information. IOUs submitted DOE's Dimmable Ballast  
8 Technical Support Document (TSD) information for 2011  
9 Rulemaking. And it includes the sales and stock  
10 information and data related to all Dimmable Ballasts.

11 So the question is: What annual sales data is  
12 available for the Dimmable Ballasts that dim below 50  
13 percent? So it's not separated, so the data is in the  
14 TSD, so no separate data has been provided, so we'd like  
15 clarification from the stakeholders on that. And the  
16 second question is: How many Dimmable Ballasts are  
17 installed in the existing buildings, residential as well  
18 as non-residential? I don't think there's going to be  
19 much of residential buildings that have Dimmable Ballasts,  
20 it's mostly the non-residential, but we would like to get  
21 some clarification and information on that, and if you  
22 could come and comment on it. So I will open the lines.  
23 Thank you. Yes, go ahead.

24 MR. YOUNG: So, Daniel Young with California  
25 Utilities. So to clarify, the sales data that we did

1 provide came from the DOE Federal rulemaking for  
2 Fluorescent Ballasts, so you're absolutely correct that  
3 it's not specific to Dimming Ballasts, and there's no  
4 separation in terms of in DOE's analysis which did they  
5 consider to be dimming, which did they consider to be  
6 fixed output? And, in fact, their focus was more on fixed  
7 output ballasts. So the numbers that they have provided,  
8 we would propose that they can be used almost directly for  
9 California for the purpose of a Dimmable Ballast measure  
10 because of the impact of the new Title 24 Standard. And  
11 just to clarify, the new Title 24 Code which will be  
12 effective starting January 1, 2014 is going to essentially  
13 require for all spaces where the power density is greater  
14 than .5 watts per square foot to have a minimum of four  
15 steps of dimming ability. And so the result of that is  
16 going to be that, in all new installations and retrofit  
17 installations, instead of purchasing a fixed output  
18 ballast, you will have to purchase a fully Dimmable  
19 Ballast. And so we believe that the data that DOE  
20 provided in their fixed output ballast rulemaking can be  
21 transferred into the State of California. And so just  
22 briefly, in terms of just the commercial ballasts without  
23 residential ballasts or sign ballasts, DOE estimated  
24 roughly 80 million nationwide in 2014, and that scales up  
25 to roughly 120 million in 2025, and so we believe that

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 those are the types of data that we can move over to  
2 California and say the majority of these fixed output  
3 ballast sales in California are not going to be fixed  
4 output ballast sales, in fact, they will be Dimmable  
5 Ballast sales because of the new Title 24, the  
6 requirements.

7           And to address the second question regarding a  
8 Dimmable Ballast installed in existing buildings, we agree  
9 that there's not a whole lot of data out there today to  
10 understand what that number is. And if industry does have  
11 an idea and can provide more information, that would be  
12 great, and we would love to see that. However, we don't  
13 believe that it's necessarily critical for understanding  
14 the potential impact of a standard on fluorescent dimming  
15 ballasts just because of the change in landscape that's  
16 being spurred by the new Title 24 regulations, so without  
17 Title 24 kicking into effect next year, it's hard to say  
18 if there would be a lot more dimming ballasts installed  
19 over the next, you know, 30 to 50 years. But  
20 understanding that that is happening and, you know, we  
21 think there's a great opportunity here to really capture  
22 this product that otherwise doesn't have any standards to  
23 regulate its efficiency.

24           MR. SINGH: Okay, thank you. Anybody else in  
25 the audience want to make a comment, please? Okay, if no

1 comments, then we'll open the lines for comments. The  
2 lines are open, so please make your comments on the  
3 Dimmable Ballasts. All right, I guess no comments. And  
4 we're going to move to the next slide.

5 Our next slide is about the Design Life and the  
6 Duty Cycle of Dimmable Ballasts. So one of the questions  
7 that we have is: What is the duty cycle for non-  
8 residential and residential Dimmable Ballasts? If there  
9 is any information, we have not seen any in the TSD,  
10 Technical Support document of the DOE because it's mixed  
11 information, and so we have not seen any information  
12 related to the ballasts that are dimmable below 50  
13 percent. So that's one of the questions that we'd like  
14 some response. And the second question for discussion is:  
15 What is the design life of Dimmable Ballasts? And those  
16 two, we'd like to get information or discussion on. And  
17 the reason the duty cycle and design life information  
18 is essential is because we use it to determine the cost-  
19 effectiveness and the total energy consumption and  
20 energy savings. So it's critical that we get this  
21 information if there's a proposal to do Standards on it,  
22 so you know, we would like to open this discussion now and  
23 then, when the proposal is submitted, we'd like to have  
24 this information in there stated clearly so that we can do  
25 our analysis on this product. So with that, I would like

1 to have the comments received in the audience. So if  
2 somebody has a comment, please come forward. Yes, sir.

3 MR. YOUNG: Daniel Young again with the  
4 California Utilities. So again, for these questions we  
5 would refer back to the DOE Technical Support document for  
6 the fixed output ballast rulemaking. You know, fixed  
7 output ballasts and Dimmable Ballasts are designed to  
8 serve exactly the same function, the same application.  
9 There may be some adjustments needed for Dimmable Ballasts  
10 in terms of the duty cycle, but for the purposes of  
11 estimating the impact of the standard, I think the  
12 research conducted by DOE serves as a useful foundation.  
13 So they've estimated 2,700 to -- I think it's 3,500  
14 operating powers annually for fluorescent ballasts in  
15 commercial applications, and I think that's an acceptable  
16 duty cycle for dimming ballasts, as well. In terms of the  
17 design life, DOE has estimated 13 to 15 years for fixed  
18 output ballasts and, again, they're essentially  
19 constructed of the same components. We don't see any  
20 reason why you should expect Dimmable Ballasts to last  
21 much longer or much shorter than fixed output ballasts.  
22 But, again, this is an area where we would welcome input  
23 from manufacturers, as well, if they have analysis to  
24 support either longer or shorter lifetimes for Dimmable  
25 Ballasts in relation to fixed output ballasts. But as of

1 right now, there doesn't appear to be any measurable  
2 difference between the two in terms of these two factors.

3 MR. SINGH: Is there any study on that or  
4 information or research on --

5 MR. YOUNG: Comparing the design life of  
6 Dimmable Ballasts with fixed output ballasts?

7 MR. SINGH: Yes.

8 MR. YOUNG: Not that I know of. There are  
9 studies that have evaluated the use of light control  
10 sensors and that impact on energy use over a year, and  
11 that can be useful, I think, for guessing at adjustments  
12 to duty cycle. DOE actually in their technical support  
13 document provided separate lifetimes for commercial  
14 ballasts that were operated with and without an occupancy  
15 sensor, so slightly different in that they're not  
16 necessarily dimming. But in the sense that one is  
17 obviously at the lower operating hours with the use of an  
18 occupancy sensor, that is something that can help  
19 calibrate a final estimate, too.

20 MR. SINGH: Great, thanks. Yes, Keith.

21 MR. COOK: Keith Cook from Philips. I guess I'm  
22 a little confused on where this is actually headed. The  
23 reason I'm saying that is, when you look at the Sales and  
24 Stock information, you can probably talk to each  
25 individual manufacturer on a one-on-one type basis, and

1 they can tell you the percentage of their total ballast  
2 sales which is dimming. Right now, I don't believe that  
3 NEMA actually gathers that information, so it's not  
4 something we can do as an industry whole to provide it.  
5 But it's almost an academic question because, as  
6 previously stated, with Title 24 adoption, those numbers  
7 no longer really have any bearing in California. The  
8 adoption of a Dimmable Ballast is going to be much much  
9 much higher than what those previous numbers will ever  
10 show you.

11           The other thing that has got me concerned is  
12 that a lot of dimming today, there aren't Standards as far  
13 as efficiency, and that's really I think what the focus of  
14 this study was supposed to be on, and we need to determine  
15 how we're going to get to that end result, how to  
16 establish such a Standard. And that's what drives the  
17 questions about duty cycle. You know, if you come up with  
18 a specification, or how to test for it, then it should be  
19 predicated upon that duty cycle and I don't know of any  
20 concrete data that shows that. Another source you might  
21 want to contact would be Francis Rubinstein at Lawrence  
22 Berkeley --

23           MR. SINGH: Right.

24           MR. COOK: -- and they've done an awful lot of  
25 work on controllable lighting and may be able to provide



1 some data along those lines. As also previously stated,  
2 the design life of Dimmable Ballast is the exact same as  
3 the fixed output, no difference.

4 MR. SINGH: You know, one of the questions I  
5 have is, what is the percentage of this ballast in 100  
6 percent duty cycle, you know, 100 percent capacity, what  
7 is the duty cycle in 50 percent or 30 percent? So that is  
8 really essential for --

9 MR. COOK: Again, as I think was previously  
10 pointed out, it is so predicated upon the application,  
11 it's just unbelievable. I mean, there are some control  
12 systems where you set the system up initially where it  
13 never sees 100 percent, and the ballast may never operate  
14 at 100 percent. Then, of course, you have the duty cycle  
15 where it has daylight controls and in those cases they  
16 will only operate when the sun is out, so you end up with  
17 a different duty cycle than one that's under an occupancy  
18 sensor where it's going on and off all day long. So it's  
19 very very dependent upon the application.

20 MR. SINGH: All right, thank you. Yes, please.

21 MR. HAKKARAINEN: Pekka Hakkarainen, Lutron.  
22 Just commenting on the duty cycle issue. As Keith said,  
23 we probably don't have the data in the form that you are  
24 asking for here, but I am wondering if that is even  
25 necessary because what you are saying here is that the

1 ultimate goal is to determine the potential energy savings  
2 out of it. Keith mentioned Francis Rubinstein, he  
3 certainly had some data available. As an industry, we  
4 have -- well, actually, I take that back, that wasn't in  
5 the NEMA context -- in the ASHRAE 90.1 development  
6 context, we have collected a set of published papers and  
7 case studies that we could give you all the references  
8 for. I believe most of them are today, including though  
9 in the overview paper that Lawrence Berkeley National  
10 Laboratory published in the *Leucos* last year, and Francis  
11 was one of the authors. So there is a reasonable set of  
12 data available for determining what energy savings are  
13 available from control systems that use dimming ballasts.  
14 We will put those into our comments.

15 MR. SINGH: Okay, thank you. Yes, Alex, please.

16 MR. BOESENBERG: It wasn't scripted, but I'll  
17 segue right off of Pekka's comment. NEMA has attempted --  
18 I'll give a little background -- NEMA has attempted  
19 several times in the past to pursue either -- well, we've  
20 tried to pursue incentive plans, or national recognition  
21 for systems which have the potential to save energy  
22 through the use of lighting controls, a Dimmable Ballast,  
23 a linear fluorescent, is one example of a subset inside  
24 that umbrella. And the challenge has been proving you  
25 will save energy because you have the capability of saving

1 energy. And Keith and Pekka alluded to that. It has a  
2 lot to do with the application. And I would further state  
3 that we have done studies, we did a study with CLTC in  
4 some of the Davis classrooms on whether or not they  
5 actually dim the systems; even though it's capable,  
6 sometimes they just like to throw full on. And there's  
7 other studies that CLTC has done where the data can be  
8 conflicting, that ultimately it has to do with the  
9 operators, first proper commissioning, and proper  
10 maintenance. I will freely admit, inside NEMA's own  
11 offices, I have battled with the Office Manager to use the  
12 right fluorescent lamps in our dimmable areas because when  
13 he buys the utterly cheapest one he can find, sometimes  
14 they die early and they don't dim well, but that is just  
15 proof that even somewhere where we know what we're doing,  
16 you can still mess it up. And I'm mentioning this just as  
17 a caution; whatever estimates the Commission does, or the  
18 proposal the development teams do of, "oh, it's going to  
19 save this much energy," that a lot of grains of salt have  
20 to go in with that because we don't know if people really  
21 will use it or maintain it correctly in the lifetime. The  
22 initial install might be very efficient, but then fall  
23 into disrepair and not save any energy over any fixed  
24 output ballast.

25 And the other thing I need to point out, and I

1 might as well do it since I'm up here because I didn't  
2 find a good place here, is Keith already alluded to, in  
3 absence of standards which specifically test Dimmable  
4 Ballasts for efficiency -- and I can't say that NEMA  
5 started some while ago developing a standard for that --  
6 we do have a standard for linear fluorescent lamp dimming,  
7 LL9, so this is sort of like the companion ballast  
8 standard, but I want to caution, as well, or raise the  
9 issue -- we'll call it expectation management -- a  
10 Dimmable Ballast to achieve dimming one of the things it  
11 does is send power to the filament's, cathode heat, to  
12 keep them emissive so that the lamp will continue to glow,  
13 otherwise you have flicker and early failure as potential  
14 problems. So a Dimmable Ballast actually uses more energy  
15 for cathode heat than a fixed output ballast. But the  
16 tradeoff is you save a lot of energy in output power  
17 overall because you're dimming the light. So it's a  
18 question of managing expectations, understanding that this  
19 is a different technology than a fixed output ballast.  
20 You can test it at full output and get an efficiency from  
21 it, and we do in the NEMA premium ballast program. I have  
22 fluorescent TA Dimmable Ballasts listed in that program,  
23 they're tested at full power. And I sort of want to beg  
24 the discussion maybe not here today, but in the first  
25 proposal workshop of do we really need to put a lot of

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 energy into an efficiency standard and efficiency  
2 requirements for a Dimmable Ballast when the real energy  
3 savings lies in the actual dimming itself, moreover than  
4 the ballast. Thanks.

5 MR. SINGH: Okay, thank you. Anybody has  
6 comments? Okay, go ahead.

7 MR. YOUNG: Daniel Young, California Utilities.  
8 Just to respond to a couple of the comments that were just  
9 made, first of all, I think it's a good point that you're  
10 not guaranteed savings when you install a Dimmable Ballast  
11 over a fixed output ballast, but I think we would argue  
12 that that's not really the point of this measure, is to  
13 ensure that the Dimmable Ballast that you do install  
14 perform better than a Dimmable Ballast that you could  
15 install. And so that's really the point that we're trying  
16 to make. Whether or not you actually gain savings by  
17 dimming your ballast, that's not really up to the  
18 Standard, I don't think, but it's more just ensuring a  
19 high quality of efficiency amongst ballasts that are  
20 dimmable.

21 And then to the point of duty cycle and how that  
22 factors into, you know, whether you're considering  
23 standard levels or estimating savings, I think it's also  
24 an excellent point that we don't know exactly how every b  
25 ballast is going to be operated, so you may operate some

1 at 100 percent, you may operate some never at 100 percent,  
2 we don't know. But that, I think, highlights the  
3 importance of needing to understand how these ballasts  
4 perform when they're not at 100 percent. So if we can  
5 find a way to do that by looking at the performance of  
6 multiple ballasts as they dim, then we'll have an idea of  
7 how to develop a standard to ensure quality performance of  
8 products from 100 percent all the way down to their  
9 minimum dimming percent. And so to that point, I wanted  
10 to just state for the record that the Utilities are  
11 funding testing with Southern California Edison for 35  
12 unique dimming ballasts to study exactly this question,  
13 which is how do they perform when they're measured at 100  
14 percent, and then what happens as you gradually dim them  
15 down until they no longer operate the lamp? And so we  
16 think that that data is going to be invaluable in the  
17 sense that nowhere else can you look at that right now and  
18 say, how does one ballast compare to another across its  
19 full living range? But upon completion of that testing  
20 we'll have a good understanding of that for a lot of  
21 products in the market, from a lot of the major  
22 manufacturers. And so we'll look forward to completing  
23 that and submitting that to the Commission within the next  
24 month or two.

25 MR. SINGH: Okay, great. Thanks. Anybody else

1 in the audience? Okay, Peter, can we open the lines,  
2 please? So the lines are going to be open. Anybody have  
3 comments?

4 MR. STRAIT: Sorry about that. Sometimes it  
5 takes me a moment to find out who is making background  
6 noise.

7 MR. SINGH: Okay, the lines are open now. All  
8 right, since have no comments, Peter, I'm going to move to  
9 the next slide, then. Thank you.

10 Okay, my next slide is going to be Incremental  
11 Cost and Savings. I know Edison did some study on the  
12 Dimmable Ballast price survey and we have looked at it,  
13 but the data provided lacks comprehensive price  
14 information and the kinds of price comparisons we need,  
15 what's the price difference in ballasts which goes up to  
16 50 percent, or below 50 percent, what is the price  
17 difference? And what's the price difference in 100  
18 percent, you know, no Dimmable Ballasts? So that  
19 information we need to have so that we can compare the  
20 incremental costs of these products. And stakeholders who  
21 wish to submit proposals for incremental cost, we'd like  
22 to get that incremental cost as it's a necessity to make  
23 the determination on the energy savings and the cost-  
24 effectiveness of the product. So we would like to get  
25 that information. And if anybody has a comment on the

1 cost or incremental cost, we'd like to hear the comments.  
2 Go ahead, please.

3 MR. YOUNG: Daniel Young, California Utilities.  
4 First, just a quick question. You mentioned -- I think  
5 you're interested in the price of dimming ballasts versus  
6 fixed output versus --

7 MR. SINGH: Yeah, so that we can see the  
8 difference like the 50 percent, you know, dimmable up to  
9 50 percent, or 30 percent, so what's the difference, and  
10 for non-Dimmable Ballasts, so to see the cost, what is the  
11 incremental? We have to have some baseline to see where  
12 the cost is.

13 MR. YOUNG: So I guess I'm not entirely clear  
14 why that data would be helpful. Just from my  
15 perspective, we're interested in the incremental cost of  
16 higher performing potentially covered dimming ballasts  
17 that dim below 50 percent versus lower performing dimming  
18 ballasts that dim below 50 percent, all within the same  
19 category. So I guess I'm not sure of the value added for  
20 understanding the cost premium from going from a fixed  
21 output to a 70 percent Dimmable Ballast, all the way up to  
22 a 30 percent Dimmable Ballast. But if that's in some way  
23 useful to you, we can certainly work to --

24 MR. SINGH: Yeah, because we would like to see  
25 that because both of these ballasts are going to be



1 available in the market because, although DOE is  
2 regulating the ballast up to 50 percent, they will be sold  
3 in the California market. Also, if we regulate below 50  
4 percent, they will also be available in the market. So we  
5 want to see how the consumer goes out to the store and  
6 they see the two ballasts, one is \$50.00, the other one is  
7 \$150.00, so how do we tell -- so I think we need that  
8 information because once we move forward we like to look  
9 into it.

10 MR. YOUNG: Okay, so to respond to that, I  
11 would think that that's this issue of could a consumer  
12 comply with Title 24 using a ballast that's not dimmable  
13 below 50 percent versus would they have to buy one that  
14 dims beyond 50 percent. It sounds like that may or may  
15 not be a compliance issue with Title 24, but again, I  
16 think we would want to keep the focus on the ballasts that  
17 do dim below 50 percent and have that be the product  
18 category that we're looking at incremental costs for. So  
19 I think you're right that ballasts that don't dim below 50  
20 percent, they will be cheaper, and so --

21 MR. SINGH: Right. And they will be available  
22 in the market, so --

23 MR. YOUNG: But they wouldn't meet the Title 24  
24 Code.

25 MR. SINGH: Right. There is a difference in the

1 installation and the sales so that Title 20 is a sales  
2 base, so a lot of people are going to be looking at a  
3 cheaper ballast and buy it, so how do we enforce? So we  
4 would like to see that, you know, how close the prices are  
5 so that, you know, to make enforcement better, that if  
6 there's a price difference, it's differentially too high,  
7 then we may run into some problems later.

8 MR. YOUNG: Okay, well --

9 MR. SINGH: So we would like to get this  
10 information.

11 MR. YOUNG: -- okay, we'll look into that and  
12 try and provide what we can. And then a couple comments  
13 to this slide, as well. So the price survey that we  
14 provided as is, I think you're right, isn't incredibly  
15 useful for this exercise, but the key to that, I think, is  
16 upon completion of the testing with SCE, we will be able  
17 to link the price data that we have for a specific ballast  
18 to their performance, and so with that information we can  
19 perform some analysis and understand exactly what is the  
20 cost difference between a higher efficiency dimming  
21 ballast versus medium efficiency dimming ballasts, versus  
22 low efficiency dimming ballasts, if there is one. So our  
23 initial research suggests that other ballast factors such  
24 as how many lamps it's designed to operate, or what is the  
25 control type, these are things that have a far greater

1 impact on price than just the efficiency component of it.  
2 So as far as -- I can see on the market there is no such  
3 thing as, you know, the premium efficiency brand of  
4 dimming ballasts for each manufacturer yet. So not seeing  
5 that and just looking at the other components that impact  
6 cost, our initial research suggests that incremental cost  
7 isn't a huge piece of this question.

8 MR. SINGH: Okay, thanks. Anybody else in the  
9 audience? Yeah, go ahead Charlie.

10 MR. STEVENS: Charlie Stevens, Northwest Energy  
11 Efficiency Alliance. I didn't quite know where to put  
12 this. We just completed a study with the New Buildings  
13 Institute on Fixture Level Dimming, and it was presented  
14 to our lighting program funders yesterday in a webinar.  
15 And I think based on our discussions internally on  
16 Tuesday, we think the testing was successful enough that  
17 we believe this will become a dominant way of doing  
18 dimming, with dimming ballasts, in the future. And it  
19 will probably go to the market transformation phase of our  
20 work as a result of this study. So we'll provide that to  
21 the record and I think it will answer at least a few of  
22 the questions, it won't answer all of them, but it will  
23 probably get you energy savings, duty cycle, and some of  
24 the other costs. The purpose for us was to demonstrate or  
25 validate the performance of the systems and the energy

1 savings, and the cost-effectiveness of the technologies.  
2 So there's probably some answers in there and I'll send it  
3 to you as soon as it is published, which will be sometime,  
4 I think, in the next week or two.

5 MR. SINGH: Okay, thanks. Thank you, Charlie.  
6 Anyone else? Okay, Peter, could you please open the  
7 lines? Anybody have comments related to the Incremental  
8 Cost Savings, please make your comments. Okay, it looks  
9 like no comments. I will move to the next slide. Thank  
10 you, Peter.

11 Okay, this concludes the ITP phase and the  
12 Commission will request proposals on this topic, and we  
13 will issue a Proposal Template by June 10th and would  
14 request the proposals to be submitted by July 25th. And  
15 the Proposal Template is going to be a guidance document  
16 that stakeholders can use to submit their proposals.

17 And the Commission staff will be available to  
18 discuss any of the issues related to this topic or the  
19 Proposal Template, so we will be available and any time  
20 you want to meet us, or want to have a conference call, or  
21 any issues, we'll be available to answer any of the  
22 questions.

23 This slide is about where we are in the process.  
24 You have seen it many times, I think, since we started  
25 this workshop phase on Tuesday, and our next step is the

1 Proposal Template June 10th, and then we will move  
2 forward. We expect the proposals to be received by July  
3 25th.

4 And my contact information is here on this  
5 slide, so if you need to contact me, this is my  
6 information. And thank you very much. If you have any  
7 comments, you can make your final comments. But other  
8 than that, that concludes my presentation and we will meet  
9 I think at 1:30. It's the lunch break now -- 1:30? Yes,  
10 thank you.

11 (Break at 11:46 a.m.)

12 (Reconvene at 1:30 p.m.)

13 MR. SINGH: Okay, good afternoon and welcome  
14 back. This session we are covering the Multifaceted  
15 Reflector Lamps, MR Lamps. And the stakeholders responded  
16 to the ITP and proposed the scope of MR Lamps to include  
17 Small Diameter Directional Lamps, diameter less than or  
18 equal to 2.5 inches, and which includes MR-16 and MR-11  
19 Lamps, and Parabolic Aluminized Reflector, PAR Lamps,  
20 PR16s and PR11s, which include lower voltage lamps, MR  
21 types, and line voltage lamps. These lamps are widely  
22 used for accent task display lighting in museums, art  
23 galleries, and retail stores, residential settings, and  
24 entertainment venues.

25 The MR Lamps that the stakeholders proposed

1 comprised of large majority, approximately 95 percent of  
2 small diameter lamp market, while the remaining portion of  
3 the market of the light is personal communication with the  
4 lighting designers. Well, last of the portion comprised  
5 in the remaining portion of the market, which is personal  
6 communication and lighting designers, the types. So I  
7 will move to my first slide and this is a picture of the  
8 MR Lamps.

9           So we received this information in response to  
10 our ITP, which we shared in March and all these  
11 stakeholders submitted the comments and data related to  
12 the request. And I apologize that I didn't include SORAA  
13 comments, but you know, we will look at it and include  
14 those in our analysis. Thank you very much for submitting  
15 us the comments.

16           The Information Request, we had it in the ITP,  
17 we requested the stakeholders submit to us the information  
18 on the definition and scope, which we have received the  
19 information on the scope of this topic, test procedures,  
20 sales and stock information, and duty cycle, design life,  
21 and incremental costs and product costs. So we have  
22 received the information from the stakeholders on that.

23           I've move to the next slide which this slide  
24 includes the information submitted by IOUs. They  
25 submitted information based on the 2011 Navigant report.

1 And I have this table here which includes some of the  
2 sales information, as well as the duty cycle information.  
3 And it shows that 65 percent of the market is the  
4 commercial market, and 35 percent is the residential  
5 market. And one of the things that we want to do here is  
6 we want to focus on the commercial market because we,  
7 according to AB 1109, Assembly Bill 1109, it requires the  
8 State to reduce residential power consumption -- lighting  
9 residential power consumption by 50 percent by 2018 from  
10 the levels of 2008 baseline. And for commercial, it's 25  
11 percent reduction from the levels of baseline 2008, so by  
12 2018. And also, the outdoor lighting. But this topic,  
13 you know, the 65 percent of the commercial market is a  
14 good topic for targeting the commercial market. But it  
15 also has the residential market, which is 35 percent, and  
16 these lamps are rapidly growing in the residential area,  
17 so it's good information. And these numbers are actually  
18 the U.S. data and I think the table says that the IOUs  
19 have submitted this data, 12 percent is California's  
20 share.

21 So with that, I will open this slide and request  
22 the stakeholders in the room to make comments, and then  
23 we'll open the lines later on once we've finished  
24 receiving the comments from the people in the room. Yes,  
25 Noah, please.

1           MR. HOROWITZ: Hi. Noah Horowitz from NRDC.  
2 While we agree there is a larger share of these bulbs that  
3 are going into the commercial market, it's often  
4 indistinguishable between a residential and commercial, so  
5 we think it should cover both of them and the small  
6 diameter cans are increasingly popular in new homes and  
7 remodels, so we think that's going to increase, as well.

8           In terms of scope and some of the numbers here,  
9 it's NRDC's belief that both integral bulbs and also those  
10 small diameter reflectors that are run on low voltage with  
11 a power supply outside of the bulb, though, should be  
12 covered, too, and I'm not sure if these are just integral  
13 bulbs, or both line and low voltage. Thank you.

14           MR. SINGH: Thank you. Anybody else who wants  
15 to make a comment on this slide? Could you please open  
16 the lines? The lines are open now, anybody on the event  
17 who wants to make a comment, please go forward. Okay, the  
18 lines are open. All right, it seems we don't have any  
19 comments, so I'm going to move to the next slide, Ken.  
20 Thank you.

21           We also received the information, the Navigant  
22 report from the IOUs related to the design life and the  
23 cost information. We already received the information on  
24 the duty cycle, but this is the design life of these  
25 products, so you know, the IOUs also state the upfront



1 cost of the MR Lamps, the halogen-type lamps, or MR Lamps,  
2 cost \$2.00 to \$5.00 per lamp, and the LED replacement  
3 lamps range in cost from \$16.00 to \$45.00, depending on  
4 the quality of the lamp. So I would like to seek comments  
5 on these two issues, the design life, as well as the cost.  
6 Yes, please.

7 MS. GONZALEZ: Hi. This is Amanda Gonzalez with  
8 Energy Solutions, on behalf of the Utilities. And I would  
9 first just like to thank the Energy Commission for hosting  
10 the workshop and engaging stakeholder feedback.

11 I wanted to make a comment about design life.  
12 We conducted an additional analysis on the lifetime of  
13 lamps using 157 different data points from online  
14 catalogues from GE, Philips, and Osram, and we found that  
15 65 percent of that sample had lifetime greater than 5,000  
16 hours, and so we found that the spread was between 1,500  
17 and 6,000, with lifetime weighted towards the end of that  
18 spread. And we can submit additional information on that.

19 And then in terms of the cost for the halogen  
20 lamps, we found that for halogen lamps the spread was more  
21 between \$2.00 and \$14.00 per lamp, and with LED  
22 replacement lamps, as discussed in the measure on LED  
23 lamps, we expect that cost to come down from \$16.00 to  
24 \$45.00 to something probably substantially less in the  
25 next three years. Thank you.

1           MR. SINGH: Okay, thank you. Anybody else who  
2 wants to make a comment? Yes, please.

3           MR. SILLEVIS-SMITT: Willem Sillevis-Smitt from  
4 SORAA. This might be obvious, but since it is spelled out  
5 on the slide like this, obviously LED MR16 lamps have a  
6 lot longer lifetime, easily 25,000 hours in many cases,  
7 quoted up to 35,000 hours.

8           MR. SINGH: Thank you. You know, one of the  
9 things, we have not received the information we would like  
10 to see, the halogen lamps produce a lot of heat and the  
11 heat is not calculated in the overall consumption because  
12 it requires more air conditioning during summertime if you  
13 have the lights on, compared to LED lights which probably  
14 will generate lesser heat. So that should be part of the  
15 operating costs for the lifecycle costs, should be  
16 included in the heat part which, you know, maybe in the  
17 wintertime it works the other way, but summertime this  
18 should be an additional cost. So we would like to see  
19 some of that included in the cost. So if you have any  
20 comments on that, please make some comments; if not, we'll  
21 move to the lines, open the lines for people who are  
22 online to make some comments on it. Ken, please. All  
23 right, the lines are open if anybody has comments related  
24 to the MR Lamps, so please make the comments. Seems like  
25 we have not heard anything, Ken. So I'm going to move to

1 the next slide. Thank you.

2           So the next slide is related to the Lamp  
3 Performance Characteristics and there are two types of  
4 halogen lamps here, one is IR and the other one is the two  
5 kinds of infrared lamps, non IR and the IRs, and the LEDs  
6 Replacement Lamps. So this is the information on the  
7 lumens output and the wattage, and the efficacy of these  
8 lamps. So we would like to see comments on this  
9 information if you want to make a comment. Yes, please.

10           MR. HOWLEY: Yes, Joe Howley with GE. The one  
11 thing that doesn't show up on these slides with regard to  
12 performance characteristics is how the beams are being  
13 generated. There is a much different optical mechanism  
14 happening with the halogen MR16 lamps versus the LEDs.  
15 With the LEDs, it's fairly straightforward, the beam comes  
16 out pretty much straightforward out of the face of the  
17 lamp and to whatever beam spread it's designed, 10 to 60  
18 degrees, but it's a straight beam often with very little  
19 field illumination around it, all the energy could be  
20 concentrated in a very tight circle of light, or whatever  
21 beam spread they're designed for. The difference is that  
22 the halogen lamps get their beam spread by bouncing the  
23 light from the filament off an elliptical reflector, which  
24 is around the lamp, which is where the MR comes from,  
25 Multi-Faceted Reflector. The LEDs are sort of misnamed in

1 that it's not really a Multi-Faceted Reflector that is  
2 reflecting lights, it's simply a replacement for one. But  
3 when it does this, elliptical reflectors will recombine  
4 all the light in a very small point, a couple of inches  
5 typically, in front of the light bulb itself, and some of  
6 the fixtures are designed to take advantage of that in  
7 that they'll have a very small aperture opening or slit  
8 opening, in which an LED MR16 Lamp simply would not work  
9 and would not function properly.

10 I raise this because there were some comment  
11 about it being technology neutral. But in this case, if  
12 you made the technology neutral and pushed it up to the  
13 efficiency of LEDs, you'd lose all the utility and  
14 functionality of a halogen MR16 lamp. So I raise this  
15 with the concern that you'd have to look at minimum  
16 efficiency regulations separately for these different  
17 classes of lamps if you were to set a minimum efficiency.  
18 You couldn't set one efficiency, minimum efficiency, for  
19 all three; if you did that, you would have the risk most  
20 likely of eliminating the halogen lamps and eliminating  
21 that optical technology, and also creating problems in  
22 fixtures where they're designed to take advantage of that  
23 particular fixture of a small sort of how the light  
24 reflected comes through the small point. And then there's  
25 also field illumination, as well, there's the light that

1 just comes out of the front of an MR16 creates kind of a  
2 field glow, so you have both the tight spot of light plus  
3 a small amount of field lighting around it, which a lot of  
4 lighting designers like, especially in the retail  
5 environment. So just some concerns here with regard to  
6 performance that does not show up on a simplified chart  
7 like this.

8 MR. RIDER: Joe, before you leave, and I'm not  
9 sure if it's in the record already or not because I  
10 haven't reviewed these particular comments, but if you  
11 have some diagrams that really kind of illustrate the  
12 point that you're making, I think I'm hearing the concept,  
13 but it would be a lot easier if I could see some diagrams.

14 MR. HOWLEY: Right. Do you want me to -- I  
15 could try to draw if you have a sheet up here, or do you  
16 want --

17 MR. RIDER: If we have time at the end, maybe we  
18 could go over that, or Harinder and I could meet with you  
19 and you could show it, but just so we really understand,  
20 we want to understand what you're saying and I kind of get  
21 it, but it would be easier if I could see it.

22 MR. HOWLEY: Sure. I agree. Thanks.

23 MR. RIDER: Thank you.

24 MR. SINGH: Thank you. More comments, please?

25 Gary.

1           MR. FERNSTROM: This is Gary from PG&E. So I  
2 have a question of Joe, let me get his attention. I was  
3 unaware that the MR Lamp converged the light, you know, a  
4 short distance in front of the lens. My question is,  
5 couldn't LED replacements for the MR Lamps be similarly  
6 designed to direct the light through an aperture? Or is  
7 that not technically feasible?

8           MR. HOWLEY: I think it would be optically  
9 difficult, it's certainly not how they're designed today  
10 to operate. The reason that it collects through a single  
11 point is, because these lamps were originally used in  
12 slide projectors, for those that remember slide  
13 projectors, and so that was their original use before we  
14 pulled them out of slide projectors to create this new  
15 market back in the early '80s and calling them Precise  
16 Lamps, and pulling them out of slide projectors and  
17 actually having them highlight objects. But that was why  
18 they were originally designed with an elliptical reflector  
19 to go through a slide in a slide projector.

20           MR. SINGH: Thank you. Anymore comments in the  
21 room, please? Yes.

22           MS. GONZALEZ: This is Amanda Gonzalez with the  
23 Utilities. I also have another question for Joe. I was  
24 wondering if you could explain or talk about the market  
25 share that that represents, this issue?

1           MR. HOWLEY: The market share between halogen  
2 and LED?

3           MS. GONZALEZ: No, the market share of the MR  
4 Lamps where the small beam spread becomes an issue, where  
5 LEDs can replace that --

6           MR. HOWLEY: I don't know because it's a fixture  
7 application issue, so I don't think there's anyone that  
8 would have that type of information. I know there are  
9 fixture designs to use that particular feature of that  
10 lamp, certainly not all of them are designed that way,  
11 which is why the MR16s work well in many applications,  
12 they just don't work well in all.

13          MS. GONZALEZ: Okay, thanks.

14          MR. RIDER: For folks on the phone, Joe said he  
15 doesn't know.

16          MR. SINGH: Yes, Gary, please. No jokes.

17          MR. FERNSTROM: Gary from PG&E. So I'm going to  
18 step up to the microphone so everyone can hear me. If I  
19 understood Amanda's question right, the answer would be  
20 that all of our lamps are designed to have this  
21 convergence -- no? Only certain ones?

22          MR. HOWLEY: The halogens are designed --

23          MR. FERNSTROM: Okay, so halogen MR Lamps which  
24 is the majority of what's sold today, because they stem  
25 from this original design for slide projectors, feature

1 this convergence. They may or may not go into a fixture  
2 that has a small aperture, but that's the way they  
3 operate.

4 MR. HOWLEY: Yes, that's correct. They operate  
5 that way and some fixtures take advantage of that. Thank  
6 you.

7 MR. SINGH: Thank you, Gary. Anymore comments  
8 in the room, please? All right, Ken, can you please open  
9 the lines? Hello? All right. Okay, if no more comments  
10 on this slide, then, Ken, can you close the lines? Okay,  
11 thank you.

12 All right, then I think we're going to move to  
13 the Next Steps on this issue, is we are going to issue our  
14 proposal information template on June 10th and we'll seek  
15 proposals on the MRI Lamps by July 25th and then after  
16 that we will evaluate all the proposals and the  
17 information submitted to us, and sometime in August or  
18 September, we will prepare our staff report, draft staff  
19 report, or some standards which we may propose, and then  
20 we'll conduct workshops later on to discuss the staff  
21 report or the proposed standards and we'll seek further  
22 comments.

23 We also want to mention that we are available to  
24 discuss any issues, questions, and concerns related to  
25 this topic any time you wish to contact us or talk to us,



1 please contact us and we are available to discuss any of  
2 the issues. And this process is going to be open and  
3 transparent all the way until we -- if we decide to adopt  
4 the Standards. Yes, Noah?

5 MR. HOROWITZ: Are you reviewing other issues  
6 before you wrap up?

7 MR. SINGH: Yeah, we are going to be doing that.

8 MR. RIDER: We have 25 minutes still left in  
9 this session, so I think we have enough time for it,  
10 certainly.

11 MR. SINGH: Yes. So this is going to be the  
12 next steps, and I just want to go through this slide  
13 again, and you have seen it a number of times. And you  
14 know, other than that, if anybody has comments you can  
15 make the comments, we are open. So you're welcome to come  
16 up and make the comments. Thank you.

17 MR. HOROWITZ: Noah Horowitz, NRDC. This is  
18 more a question than a comment. As this process moves on,  
19 I think we need to decide, is it all lumens that are  
20 counted, or just the amount of light within a certain beam  
21 angle? And I wonder if industry has a preference on how  
22 this would be structured, and even if we don't get at that  
23 today, hopefully there can be guidance in the templates so  
24 that we're real clear which lumens are being integrated as  
25 we move forward because it's apples and oranges data,

1 otherwise. Thank you.

2 MR. RIDER: And just regarding the template, I  
3 don't think it's going to be down to that level of detail  
4 for product specific detail, so I think it's definitely  
5 worth a discussion here if it's possible.

6 MR. SINGH: But one of the things that I just  
7 want to mention, that we are in an information gathering  
8 phase, so we will talk about it after we receive all the  
9 proposals and whatever you want to do. So we don't want  
10 to step in right now and start directing people to submit  
11 information this way or that way because --

12 MR. RIDER: Right, so not in context of a  
13 Standard, I think it relates about the measurement and how  
14 do you measure energy efficiency, is it the lumens within  
15 a certain angle being spread?

16 MR. SINGH: A question for Joe, I think.

17 MR. HOWLEY: Joe Howley with GE. Just a comment  
18 on Noah's question, is in these particular lamps,  
19 especially, it would be very hard to define a random beam  
20 spread by which you'd need a certain number of lumens.  
21 One of the benefits of MR16s are that you can create a  
22 very tight beam spread, it's a 12 volt film on a very  
23 small filament, and allows us to create with these Multi-  
24 Faceted Reflectors a very precise beam control, and  
25 therefore if you only need to light a very small object, a

1 little statue or something and you want a very tight beam,  
2 you know, all those lumens will be in that one very tight  
3 beam. And it's actually a very efficient way to light  
4 something like that, you don't have a lot of spill light.  
5 On the other hand, they come in wide beams, as well, so  
6 you can get much broader beams. And, you know, as a Title  
7 20 product standard, you really don't know what the  
8 application will be and that the designer is trying to use  
9 this for and so you don't know, you know, you have to  
10 leave that up to the designer whether or not they're  
11 efficiently using that product, or efficiently using the  
12 right beam spread. I think it's beyond the ability to  
13 regulate the application, so all you can do is, if you're  
14 regulating efficiency of the lamp, I think to start you  
15 almost have to use all the lumens coming out of the lamp -  
16 - how it's coming out, how tight a beam spread it is,  
17 there's just a lot of options in these particular  
18 products. I don't think that could be regulated, so it  
19 almost has to go to the input wattage and the total lumens  
20 coming out of the fact of that lamp.

21 MR. SINGH: You know, one of the things, the  
22 stakeholders submitted the information related to the  
23 scope that says that widely used applications, wide usage  
24 for accent task and display lighting in museums and art  
25 galleries, retail stores, residential settings, and

1 entertainment venues, so this is a fairly wide scope, so I  
2 think we expect the information related to that, you know,  
3 so that covers all of those areas of the scope. So  
4 anyway, any other questions? Ken, anybody has questions  
5 on -- can you open their lines, please and see if there  
6 are any questions on the Web? Hello, the lines are open  
7 if you have some comments related to MR Lamps, please  
8 speak up and we will be happy to take your comments. All  
9 right, thank you. I don't think we heard anything.

10 Thank you very much for joining us and this  
11 concludes our presentations and time for the workshop, so  
12 we are done with the topics for the day today. Thank you  
13 very much and we appreciate your taking the time traveling  
14 here and thank you for participating and giving your  
15 comments to us.

16 MR. RIDER: And I'd like to second that from the  
17 LED presentation earlier today. I don't think I took the  
18 time to really thank everybody, you know, 1) thank you  
19 very much for the written comments, but 2) to actually  
20 make the trip out here and also, even for those people who  
21 took their time out to call in and give us even more  
22 information and background in these markets, it's  
23 absolutely critical for us to understand the marketplace  
24 and the background information in order to make an  
25 informed decision on policy. So, again, thank you very

1 much and have safe travels back home.

2 MR. SINGH: Thank you.

3 (Thereupon, the Workshop was adjourned at 2:00 p.m.)

4 --oOo--

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25