

DOCKETED	
Docket Number:	20-FDAS-01
Project Title:	Flexible Demand Appliance Standards
TN #:	244301
Document Title:	Transcript of 7-19-22 for FDAS Pool Controls Workshop
Description:	On July 19, 2022, CEC staff hosted a public workshop for the proposed regulatory language and draft staff report for the flexible demand appliance standard for pool controls. This document is the certified transcript of that workshop.
Filer:	Bruce Helft
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/3/2022 2:25:05 PM
Docketed Date:	8/3/2022

CALIFORNIA ENERGY COMMISSION
REMOTE STAFF WORKSHOP

IN THE MATTER OF:)	Docket No. 20-FDAS-01
)	
)	
<i>Public Workshop for Flexible</i>)	REMOTE WORKSHOP
<i>Demand Appliance Standards for</i>)	
<i>Pool Controls Draft Staff</i>)	Re: Flexible Demand
<i>Report and Proposed Regulatory</i>)	Appliance Standards for
<i>Language</i>)	Pool Controls Draft Staff
)	Report and Proposed
)	Regulatory Language

STAFF WORKSHOP FOR
FLEXIBLE DEMAND APPLIANCE STANDARDS
FOR POOL CONTROLS

REMOTE ACCESS ONLY

JULY 19, 2022
9:00 A.M - 1:00 P.M.

Reported By:
E. Hicks

APPEARANCES

CEC Commissioners:

Andrew McAllister, Commissioner CEC

CEC Staff: (Via Remote)

Michael Sokol, Director of the Efficiency Division, CEC

Nicholaus Struven, Program Lead, CEC

Bruce Helft, Moderator CEC

Ho Hwang, Electrical Engineer CEC

Livinus Ishaya, CEC

Presenters

Michael Sokol, Director of the Efficiency Division, CEC

Andrew McAllister, Commissioner and Lead, CEC

Nicholaus Struven, Program Lead

Daniel Buch, Branch Manager, CPUC

Bruce Helft, Moderator, CEC

Ho Hwang, Electrical Engineer CEC

Panel Members:

Panel: Respondents' Panel Discussion

Moderator: Bruce Helft, CEC

Pierre Delforge, National Resources Defence Council, Inc.,
NRDC

Jennifer Hatfield, Pool and Hot Tub Alliance, PHTA

Mary Anderson, Pacific Gas & Electric Company, PG&E

Henry Richardson, WattTime

Public Comment:

Bruce Nordman, Lawrence Berkeley National Laboratory

Geoff Wickes, NEEA Emerging Technology

Jorge Gamboa, Self

Tristan de Frondeville, SkyCentrics

Angela Chuang, EPRI

Philip Escobedo, Fluidra

I N D E X

	<u>Page</u>
Welcome and Orientation Michael Sokol	4
Introductory Remarks J. Andrew McAllister, CEC Commissioner	6
Framing Flexible Demand Appliance Standards Michael Sokol, CEC	13
Staff Report and Proposed Regulations Nicholaus Struven, CEC	19
CPUC on Appliances and Flexible Demand Daniel Buch, CPUC	39
Panel: Respondents' Panel Discussion Moderator: Bruce Helft, CEC Pierre Delforge, NRDC Jennifer Hatfield, PHTA Mary Anderson, PG&E Henry Richardson, WattTime	46
Public Comments	33, 76
Concluding Remarks and Next Steps	88
Adjourn	89
Court Reporter's Certification	90
Transcriber's Certification	91

1 P R O C E E D I N G S

2 JULY 19, 2022

9:01 a.m.

3 (On the record at 9:01 a.m.)

4 MR. SOKOL: All right, good morning, everyone.
5 It's just a minute past the hour and 9:00 o'clock here.
6 We'll go ahead and get started. Welcome to the Flexible
7 Demand Appliance Standards Workshop, a staff workshop on
8 pool controls. I'm Michael Sokol, the Deputy Director with
9 the Efficiency Division. And I'll give some quick
10 introductory housekeeping comments before turning over to
11 Commissioner McAllister for some introductory remarks. Next
12 slide, please.

13 Here's a brief overview of the agenda for today.
14 I'll give a brief welcome, followed by introductory remarks
15 from Commissioner McAllister. And then, a brief
16 presentation framing the Flexible Demand Appliance
17 Standards before a good presentation and discussion on the
18 poor controls staff report that was recently published.

19 And then we'll hear from the Project Lead, Nich
20 Struven, who's going to provide an overview of the report
21 and the proposed regulatory language.

22 Also, we have a representative from the
23 California Public Utilities Commission, whose staff we've
24 worked closely with in developing the proposed standard and
25 the staff report: Daniel Buch, the Program Manager for

1 Electric Rates, Customer Generation and Demand Response at
2 the Energy Division of the California Public Utilities
3 Commission.

4 And then we'll have a facilitated discussion by
5 Bruce Helft of the Flexible Demand Team, and then we'll
6 follow that up with an open public comment period where
7 attendees will be able to make comments and ask questions.

8 We also -- a reminder we would like to encourage
9 written comments, which are due August 31, by 5:00 o'clock
10 p.m.

11 Next up are two brief housekeeping slides.
12 First, this workshop is held remotely without a physical
13 room location for participants. We are using the Zoom
14 platform with remote participation instructions provided in
15 the Notice. And we've included a link here for
16 convenience.

17 Also for any technical issues or questions about
18 participation the CEC's Public Advisor Office can
19 facilitate your participation and they're available at the
20 email and phone number you see included here. Next slide.

21 Before we get jump into the agenda items, we need
22 to cover a few housekeeping rules first. First, this is a
23 public hearing, and it is being recorded by a court
24 reporter. All statements communicated today become part of
25 the public record. All attendees will be muted during the

1 presentations. If you have questions during the
2 presentations, you may type them into the Question & Answer
3 function on Zoom and they will be forwarded to the
4 moderator.

5 Near the end of the workshop there will be a 60-
6 minute, or more if we need time, period for question and
7 answer session where we will take questions and public
8 comments. And if you're on the phone, raise your hand to
9 speak by pushing *9 and the host will give you the ability
10 to speak during the public Q&A session. When it's your
11 turn you can push *6 to mute and unmute.

12 And a reminder to please state your name and
13 affiliation when speaking. Next slide.

14 So at this point, next up, we have Commissioner
15 McAllister, the Lead Commissioner from the California
16 Energy Commission, to provide some introductory remarks.
17 Commissioner?

18 COMMISSIONER MCALLISTER: Great. Mike, thank you
19 very much. I appreciate your being the maestro over us
20 here today and the host. And I want to really just thank
21 you and staff. And in particular Nich Struven, Todd
22 Ferris, Pierre duVair, that have kind of now retired just
23 recently, but actually were an instrumental part of getting
24 this report done and leading different pieces of it in the
25 Appliances Office, so want to thank them as well. And

1 Bruce, of course, who will be helping out today as well.
2 So a big team behind all of all of you, but I want to just
3 thank the staff broadly.

4 This, I think, is -- I feel that this is a
5 momentous day, really. I think if we step back, and we
6 sort of take stock of what this first staff report under
7 the Flexible Demand Appliance Standards authority means,
8 it's huge. And we are trying to develop load flexibility
9 as a legitimate aggregable, quantifiable, predictable
10 resource for the State of California to support our clean
11 energy transition.

12 Why are we doing that? Well, we know that
13 renewables are inherently intermittent, and demand has to
14 change and shift, and be able to modulate according to the
15 resources that are on the grid and their carbon content.
16 As well as reliability issues, such as an N minus 1 or you
17 know, peak summer load, those sorts of things. A
18 particular load pocket that's having distribution system
19 issues, load flexibility is going to help us minimize the
20 cost of dealing with those sorts of fairly rare, you know,
21 honestly fairly rare issues. Obviously, climate change is
22 accelerating a lot of those. But still, it's a few hours,
23 not that many hours of the year we're talking about. And
24 rather than driving massive infrastructure investments, we
25 can use load flexibility to avoid -- to at least manage

1 those costs. And that's going to be good for ratepayers
2 over the long haul.

3 It also helps us decarbonize when we can flex
4 towards energy that is low carbon. And away from that,
5 that has a higher carbon content, like in the evening peak
6 where we've got gas fired power plants coming on, the load
7 flexibility can help us manage those carbon emissions. And
8 so you know, decarbonization and cost management and
9 fundamentally over the long term, load flexibility is a
10 reliability resource. And so even when the carbon of the
11 grid is very low, even when it's carbon free, in 2035, '45,
12 and beyond, we will need load flexibility to manage, to
13 support reliability. Even when it's no longer
14 fundamentally a decarbonization resource. So we are
15 developing load flexibility for the long term.

16 The Flexible Demand Appliance Standards is one
17 key piece of that, I think it's now -- I'd say we used to
18 have a tripartite of authorities around the Energy
19 Commission in terms of our standards making, sort of
20 efficiency-related standards making: the Building
21 Standards, the Appliance Efficiency Standards, and Load
22 Management Standards, which I'll talk about in just a
23 second. But this is really a fourth authority, relative to
24 end use standards, this Flexible Demand Appliance
25 Standards.

1 And so the sum total of all of those regulatory
2 authorities is something that makes California unique, and
3 really puts us in a leadership position. There isn't
4 another state that has that level of kind of authorization
5 from the Legislature to do the things that need to be done
6 to manage the grid in the clean energy transition.

7 So this first report is really momentous, because
8 it is laying a foundation for a number of appliances going
9 forward. And so I think I would ask all of the attendees
10 to -- you know, all the stakeholders, all of those who are
11 listening today, thank you very much for being here. And
12 ask all of you to look at this report, through that lens of
13 not only is it about pool pump controls, but it's also
14 about laying the foundation for future appliance categories
15 that we are going to be considering flexibility standards
16 for.

17 And so as you look at the report, many of you
18 have already read it, but as you look at it, you'll see
19 that not all of the categories of potential sort of
20 requirements under these regulations for this specific
21 device category are utilized fully. But we're kind of
22 laying a foundation, staff in this report is laying the
23 foundation for future appliance categories to say we will
24 be considering these routinely for the devices that come up
25 for future consideration. And so I think it's really

1 important that people look at it in that way through that
2 lens.

3 Just stepping back a little bit further, we also
4 have these days the Load Management Standards, the first
5 update of Load Management Standards in a long time and
6 quite a unique update. It's not an incremental
7 improvement, or an incremental change to existing Load
8 Management Standards. It's actually kind of a new approach
9 to Load Management Standards. And it's really trying to
10 create the conditions by which we can -- we will have
11 massive automation at the device level. And facilitated
12 aggregation of those devices to do the kinds of things that
13 our Flexible Demand Appliance Standards will enable.

14 So when you have automated rates on a database on
15 the web, you'll have access to those by third parties, by
16 larger customers, potentially, by individuals potentially,
17 but certainly by third parties that are providing
18 aggregation services and managing a multitude of devices at
19 the customer premise. And so those automatic rates will be
20 automatically sort of transparent to those devices. And
21 based on whatever the customer chooses they will be
22 flexible, they will be manageable, they will be grid
23 interactive. And so all that can be automated at low cost,
24 kind of behind the curtain.

25 So when we have millions of flexible demand

1 appliances out there, and an automated platform or a
2 platform, a digital web based, cloud-based platform to
3 enable that automation, we're really talking a game changer
4 there in terms of the ecosystem that will exist. That that
5 today does not exist.

6 So there are other efforts that we're making in
7 load flexibility in terms of sort of helping this ecosystem
8 develop. The CalFlexHub is a research and development
9 initiative that the California Energy Commission has funded
10 with EPIC funds, that's being led by Berkeley Lab. That
11 will help sort of put meat on the bones here to develop
12 sort of business models and approaches that are going to
13 allow this to happen in the real world in a grounded way.

14 We also have our Building Standards, really our
15 Building Standards and the joint appendices of those
16 Building Standards that are increasingly going to emphasize
17 load flexibility.

18 So the sum total of all of this is that load
19 flexibility, grid interactivity, native pervasive load
20 flexibility is a core part of California's electric grid
21 future. And so this report, I think, needs to be seen in
22 that context. This proposal for flexible pool controls is
23 really, I think, a harbinger of many things to come. And
24 so I wanted to kind of set that context before today's
25 workshop.

1 And really as I wrap up, I want to just commend
2 staff on a job very well done. I think as all of you look
3 at this report, you'll see that it is I'd say, excellent.
4 And, you know, it took some learning on staff. This is
5 something new. We're creating something more or less out
6 of whole cloth. And so the staff really took that to heart
7 and developed new skills, new knowledge, aggregated and
8 went out there and just did the work. Rolled up their
9 sleeves and did the work to understand what was necessary.
10 And so we've developed some new skills on staff that are
11 going to, I think,
12 serve us in good stead going forward with new devices, new
13 appliance categories for load flexibility, as well as all
14 the other arenas that I mentioned.

15 So it's not perfect. That's exactly why we have
16 these workshops. We really need all of your input, all the
17 stakeholders. You know, this is a key moment, I think, to
18 make sure that the groundwork for this long term that I'm
19 talking about, that we're aiming towards in California, is
20 done as well as possible. That we can get this in
21 consensus. You know, the more standardized and broad based
22 this approach is, the more we can all agree, and industry
23 can sort of standardize, the better it's going to be for
24 California. And I think as goes California, goes the rest
25 of the country. And so we're doing something really

1 important here.

2 And so I think it's not a -- it shouldn't be lost
3 on us that this is an occasion worth celebrating. And also
4 a challenge that we have undertaken. And I think we're
5 going to succeed and with all of your help, I know we will.

6 So I want to just kick off the day with those
7 comments, incredibly supportive of the staff here.
8 Gratified with the work they've done, and really thankful
9 for all the attendees today. And looking forward to all of
10 your comments.

11 Well, thanks very much. And I'll pass the mic
12 back to Mike.

13 MR. SOKOL: Thank you, Commissioner.

14 So with that, I'd like to take a few moments to
15 frame our progress to date, and where we are currently with
16 the CEC's overall flexible demand efforts. Next slide.

17 So going back to Senate Bill 49 in 2019, passed
18 by the California Legislature, gives the CEC authority and
19 a directive to pursue Flexible Demand Appliance Standards
20 that meet a number of criteria, in consultation with Load
21 Serving Entities and the California Public Utilities
22 Commission. So implementing these standards are a critical
23 piece in realizing load flexibility as an important
24 resource to support the CEC's efforts to lead the state to
25 100 percent clean energy in the coming years. Commissioner

1 covered some of that, of course, and I'll provide some
2 additional detail in support of the load flexibility
3 ecosystem that California is developing.

4 But Senate Bill 49 back in 2019, directed the
5 Energy Commission to establish standards that facilitate
6 deployment of flexible demand technologies for appliances.
7 This was a new authority under the Warren-Alquist Act, with
8 new regulations that will be placed in a separate section
9 of Title 20, to differentiate from the efficiency
10 regulatory authority for appliances that we have been
11 utilizing for some time.

12 The standards must show that they're cost
13 effective, and will enable appliance operations to be
14 scheduled, or curtailed to reduce emissions of GHGs
15 associated with energy generation, all while requiring the
16 consent of consumers.

17 The standards shall meet cybersecurity protocols,
18 communications have to be open source, and interoperable
19 and user friendly. A very consumer-oriented approach to
20 make sure that there's benefits for consumers, for the
21 environment, and for the electricity grid.

22 It's anticipated that this rulemaking will
23 implement directives of SB 49 to establish standards for
24 appliances that facilitate deployment of flexible demand
25 technologies and introduce a framework for enforcement to

1 achieve the objectives consistent with state GHG reduction
2 policies and mandates.

3 And of course, beyond the mandate staff has been
4 working extensively with stakeholders including the
5 California Independent System Operator, California Public
6 Utilities Commission, the California Air Resources Board,
7 the US Department of Energy, other organizations that are
8 focused on this topic. And a lot of research for existing
9 voluntary standards or even just ideas that exist
10 nationally, in other states, and even internationally to
11 inform the work here.

12 And just to piggyback on what Commissioner
13 McAllister said, a lot of kudos deserved to the staff for
14 doing a lot of research and a lot of analysis on this
15 stuff, and really building out the skill set and building
16 the muscle in this area.

17 And thank you to the stakeholders who have
18 provided input along the way through public comment
19 periods, and informal discussions. It really has taken a
20 lot to inform this initial staff proposal for pool
21 controls. Next slide.

22 So as mentioned, Flexible Demand Appliance
23 Standards really support a number of the state policy
24 objectives. And as Senator Nancy Skinner said, the author
25 of SB 49, "SB 49 will help bring California's electrical

1 grid into the 21st century and allow us to use our clean,
2 renewable power more effectively. SB 49 will also save
3 ratepayers money, because smart appliances can be
4 programmed to use electricity when it is cheapest." And SB
5 49, Flexible Demand, Appliance Standards are really just a
6 tool that will help us get us there.

7 What we see is SB 49 is at the intersection of a
8 win for climate, reducing GHG emissions, while also a win
9 for consumers saving money on utility bills. Importantly,
10 there's also a number of other benefit streams of Flexible
11 Demand Appliance Standards, and Commissioner underscored
12 the reliability benefits over the long term. So staff has
13 intentionally developed the proposal for pool controls with
14 these benefit streams in mind. Next slide.

15 Here's just a brief snapshot of a very, somewhat
16 complex slide, but it illustrates the flexible demand
17 ecosystem that's being built out here in California. Where
18 the Efficiency Division is pursuing Load Management
19 Standards for utilities and Community Choice aggregators.
20 That will provide rate time dependent rate information to a
21 central database we refer to as MIDAS, along with
22 greenhouse gas emission signals, and emergency flexibility
23 signals, all made available through MIDAS or a database in
24 a machine readable format. And then made available to
25 automation service providers and different indices in the

1 market to allow for shifting of load.

2 Since marginal GHG emissions are highly
3 correlated with real time electricity prices and grid
4 congestion, GHG emissions are also a reasonable signal
5 option for introducing customers to load flexibility
6 programs.

7 There's a lot more information about the
8 different aspects of this ecosystem available on the CEC's
9 website through the Load Management Standards proceeding,
10 which is an active and ongoing proceeding. And also
11 through the research opportunities that Commissioner
12 McAllister touched upon with the CalFlexHub. You will also
13 in addition, hear more about the CPUC's interface with the
14 flexible demand ecosystem in California as well. And lots
15 more to come in this space. Next slide.

16 So quickly, pool controls at a glance here.
17 Today's workshop is focused exclusively on one device,
18 which is pool controls. Back in September of last year,
19 CEC staff conducted a request for information, and a
20 workshop where we proposed implementing flexible demand
21 standards in three phases. And at that time, Phase One
22 included four appliance types, which included pool
23 controls, dishwashers, electric clothes dryers and
24 thermostats. Staff has been working diligently since that
25 time meeting with stakeholders and manufacturers,

1 researching technical feasibility and cost effectiveness,
2 and a better understanding of the unique issues for each of
3 these appliance categories.

4 To identify flexible demand functionality for
5 those four initial appliances scoped under Phase One, and
6 based on that preliminary assessment, we have identified
7 pool controls at the as the immediate candidate to move
8 forward with proposed regulatory language and the draft
9 staff report that was published a couple of weeks ago. At
10 this time, we will not be further pursuing dishwashers or
11 clothes dryers based on the preliminary analysis, but do
12 reserve the right and may revisit those as we learn more
13 information, and as technologies and markets evolve.
14 There's certainly a lot more work to be done and work is
15 ongoing to assess the other technologies you see identified
16 here. But today's workshop and staff report and proposal
17 is focused on pool controls.

18 Staff analysis indicates that the proposed
19 Flexible Demand Appliance Standards for pool controls are
20 both cost effective and technically feasible. Other
21 appliances will follow soon. And the list that you see
22 here is not exhaustive. The work is ongoing to assess the
23 broader list of potential technologies. We'll continue to
24 evaluate new technologies and opportunities, but today the
25 rest of the discussion will focus on flexible demand

1 standards for pool controls. Next slide.

2 So with that, I will turn it over to our Flexible
3 Demand Technical Lead Nich Struven. And he's going to
4 provide more of a detailed deep dive into the draft staff
5 report and the proposed regulatory language for pool
6 controls.

7 Welcome, Nich.

8 MR. STRUVEN: Thank you, Mike.

9 Hello, and welcome. My name is Nich Striven.
10 I'm an Engineer in the CEC's Appliance Office. This slide
11 shows where we're at in the pre-rulemaking process. We're
12 here at the public workshop. Over 15 days ago the draft
13 staff report was docketed. The report contains the
14 analysis and the draft proposed regulations. The comment
15 period ends on August 31st of 2020. Written comments may
16 be submitted to the docket directly from the website for
17 this pre- rulemaking, and assistance in docketing comments
18 is available from the Public Advisor's Office.

19 The Schedule provides 64 days for review and
20 commenting. Staff will review the comments received, and
21 where appropriate staff will revise the analysis and
22 address comments and the next draft of the staff report.
23 After the final staff report, the full formal rulemaking
24 process can begin.

25 The goals for this workshop today are to one,

1 introduce the draft staff report and the proposed
2 regulatory language to you. Two, gather your ideas,
3 concerns, solutions, and recommended next steps. Please
4 note that your written comments are due no later than
5 August 31st by 5:00 p.m.

6 Let's begin the draft staff report and proposed
7 regulations part of the workshop. If you have any
8 questions during the presentation, you may type them in the
9 question and answer function on Zoom. They'll be forwarded
10 to the moderator. We can try to answer them in the
11 question and answer function, or possibly answer them live
12 if time permits. If we don't get to your question, please
13 reach out to me using our contact information on the CEC
14 Flexible Demand Appliance webpage.

15 You might ask, why do we need Flexible Demand
16 Appliance Standards? California residents are often asked
17 to flex their power by scheduling and shifting appliance
18 operations to other times of the day. Integrating
19 connectivity into the appliances provides the consumer with
20 important tools to manage their utility bills to provide
21 consumers with additional features. Consumers can align
22 their electricity demand with renewable supplies to avoid
23 greenhouse gas emissions. Flexible demand standards for
24 appliances will ensure that consumers will be able to do
25 all of this with minimal effort.

1 Pool controls allow owners or operators to
2 control various aspects of pools. A pool controller
3 schedules the start and stop of pool maintenance
4 operations. Some controllers also control the operation of
5 the pool heater, sanitizer, valves, water features and
6 lights. All controls may be integral to the pool pump or
7 may be a separate device that remotely controls the flow
8 pump.

9 Many pool controllers can provide a user
10 interface on a computer, tablet, or cell phone. According
11 to the residential Appliance Saturation Survey there are
12 estimated to be around 1 million pool controls in the five
13 load-serving entities of California. Staff analysis
14 indicates with a few small changes, future pool controls
15 that come out of the box with a default operating schedule
16 and connectivity, can maximize the use of renewable energy
17 and provide additional consumer functionality.

18 Requiring consumer protection measures such as
19 cybersecurity and customer consent complements the
20 connectivity requirements.

21 Staff analysis indicates for a small average
22 incremental cost, California flexible demand pool controls
23 can shift electrical grid energy, help the consumer better
24 manage their utility bills, and improve air quality around
25 electrical generation plants in many disadvantaged

1 communities across California.

2 Details of the staff proposal can be found in our
3 docket, and at this link in our slide package. Chapter 5
4 contains the staff proposal and a discussion of the
5 alternate proposals. Appendix A contains the staff
6 proposed regulatory language. The proposed effective date
7 is one year after adoption. Staff seeks public comments on
8 the proposal.

9 The next seven slides will highlight some of the
10 definitions in the Appendix A proposed regulatory language.
11 After the definitions, there are slides that highlight the
12 results of the analysis. Staff will work to post these
13 slides and the transcript in the docket before the comment
14 period ends.

15 This slide highlights some of the definitions
16 found in the proposed regulatory language. The proposed
17 regulatory language definition of a "pool control" is, "a
18 pool control means any component or group of components
19 that: 1) causes the pool filter pump and other pool
20 equipment to start or stop operation, and 2) use a single-
21 phase AC power as input power. Pool controls exclude pool
22 controls marketed exclusively for use as a control for a
23 pool filter pump with a rated hydraulic horsepower greater
24 than 2.5.

25 "Flexible demand," means the capability to

1 schedule, shift, or curtail the electrical demand of a
2 load-serving entity's customer through direct action by the
3 customer or through action by a third party, the load-
4 serving entity, or a grid balancing authority, with the
5 customer's consent.

6 "Consent" means a customer's permission or
7 agreement to use the capabilities of the appliance subject
8 to this Article to schedule, shift, or curtail its use
9 through direct action by the customer or by a third party
10 load-serving entity, or a grid-balancing authority.

11 Consent may be expressed or implied.

12 "Connected device" means a device that is capable
13 of receiving TCP/IP signals from the Internet, with or
14 without the connections through common home network
15 equipment or radio broadcasting, by means of integrated or
16 separate communication module.

17 "TCP/IP signal" means a type of data format used
18 to carry data through the network. Regarding the default
19 operating schedule, the pool control shall be equipped --
20 sorry -- the pool control shall be shipped with a default
21 operating schedule setting that starts no earlier than 9:00
22 a.m. Pacific Standard Time, and finishes no later than 3:00
23 p.m. Pacific Standard Time for the following operations:
24 any operation of the pool filter pump at more than 50
25 percent of the maximum operating speed of the pool filter

1 pump, any operation of the pressure cleaner booster pump,
2 and any operation of the electric pool water heater.

3 During periods of daylight, Pacific Daylight
4 Time, the start time of the default operating schedule
5 shall be 8:00 a.m. and finish time shall be 2:00 p.m.

6 This highlight type -- the slide highlights some
7 of the definitions found in the proposed regulatory
8 language. These definitions are found in the draft staff
9 report Appendix A, Section 1691 of the proposed regulatory
10 language titled "General Reliability and Cybersecurity
11 Standards."

12 Next step, I'll highlight some of the metrics
13 from the analysis that are in the draft staff report. So
14 let's begin that section. If you have any questions during
15 this part of the presentation, just type them into the
16 question and answer function on Zoom and they'll be
17 forwarded to the moderator.

18 This graph shows a comparison of the Hourly
19 Electric Load Model, otherwise known as HELM, load for a
20 single load serving entity during a single day in the year
21 2033, compared to the baseline load in 2033. This graph is
22 an example of PG&E. Staff created analysis baselines are a
23 total of five load serving entities with datasets and
24 forecasts available for SMUD, SCE, LADWP, PG&E and SDG&E.
25 These five load serving entities represent the majority of

1 the electricity used in California.

2 Staff created a 1-year and a 10-year baseline to
3 account for changes in compliance rates, marginal GHG
4 emission rates, and TOU electric rates over a 10-year
5 period. When the HELM load shape data was collected, TOU
6 electric rates were not as widely available as they are
7 today. A baseline was created to account for the full
8 control owners and the five load serving entities that have
9 shifted their pool controls based upon electricity time of
10 use rates after the HELM data was collected. The assumed
11 percentage for those who have already made the change to
12 TOU rates is 30 percent. This change in the daily load is
13 shown by comparing the orange HELM load profile to the blue
14 baseline load.

15 Staff also considered the pool control consumers
16 that will change the default schedule when they first
17 install the pool control. Staff analysis metrics represent
18 the savings from the largest five of the 82 California load
19 serving entities. The other pool control consumers from
20 the 77 smaller load serving entities for the purposes of
21 the analysis are assumed to represent the individuals in
22 California that have decided to change from the default
23 schedule to meet their personal preferences. Since they
24 simply opted out by changing the default settings, they're
25 not included in the draft staff report estimate and

1 estimated savings metrics.

2 Staff analyzed four load shifting strategies they
3 differ by scheduling algorithm used for pool controls. The
4 graphic shown here is the proposal that is based upon a
5 default schedule for each day. Staff proposes a default
6 schedule for major pool operations. The default schedule
7 would command pool heater, pool cleaner pressure booster
8 pump, and the high-speed pool filter pump to begin and
9 complete operations between 9:00 a.m. and 3:00 p.m. Pacific
10 Standard Time. During the days of the year when time
11 transitions to Daylight Time, the window of operation will
12 be 8:00 a.m. to 2:00 p.m. to maintain alignment with the
13 local sun.

14 We can see in this graph the orange line
15 representing the major pool operations would be completed
16 before the green to you price increases in the afternoon
17 helping consumers manage their electric utility bills
18 during the hours of 9:00 a.m. to 3:00 p.m. in California
19 when the sun is shining on the solar panels providing the
20 electrical grid with clean energy. The default schedule
21 alignment minimizes the GHGs from electricity generation
22 and is advantageous to consumer utility bill savings.

23 Staff analyzed the avoided greenhouse gases for
24 the proposal and three alternates. The proposal a default
25 schedule: Alternate 1, a time of use electricity rate base

1 control. Alternate 2, a greenhouse gas emission rate based
2 control. Alternate 3, a time of use electricity and
3 greenhouse gas emission rate based control. This figure
4 provides a comparison of the GHGs avoided under the four
5 load shifting strategies analyzed by staff.

6 Shifting load TOU electric rates yields the
7 smallest GHG emissions avoided. The smaller reduction is
8 due to the TOU electric rates not being aligned with
9 marginal emission rates for the California electricity
10 supply. Shifts of energy demand tied to marginal GHG
11 emission rates yields the most GHG reduction, because the
12 pool control will find the lowest GHG emissions for each
13 day to operate. Following a combined TOU and GHG emissions
14 signal leads to GHG emissions avoided that is less than
15 following only a GHG emission signal.

16 The default schedule creates nearly the same GHG
17 emissions avoided as a shift tied exclusively to GHG
18 emission rates, which is due to the consistent hours when
19 the GHG emission rates are low. Staff proposes the
20 default schedule option, because it achieves a significant
21 quantity of GHG avoided while providing consumers with
22 significant utility bill savings and is relatively easy to
23 implement by manufacturers of pool controls. The
24 consistent daily pool operation schedule will enable high
25 consumer acceptance of the default setting.

1 This table shows pool controls statewide annual
2 avoided GHG emissions metrics, and the value assigned to
3 GHGs using the social cost of carbon. The GHG scheduling
4 alternative is predicted to have the greatest amount of
5 avoided GHG, because the algorithm is designed to optimize
6 operations based on a GHG signal. The TOU scheduling
7 alternative is focused on optimizing the consumer bill
8 savings and does not consider GHGs. This is the reason why
9 it ranks the lowest for the avoided GHGs.

10 The TOU and GHG alternate is predicted to have
11 some of the benefits following a GHG signal, and a TOU
12 price signal. This alternate is the most complex to
13 implement, because the real world will require multiple
14 data inputs to evaluate when to operate the pool equipment.
15 The staff proposal with a default schedule focuses the
16 significant pool loads from 9:00 a.m. to 3:00 p.m. without
17 the need for an advanced control algorithm.

18 The default schedule is predicted to be the
19 easiest for manufacturers to produce and it's simple to
20 verify for compliance. A 9:00 to 3:00 schedule simply
21 aligns pool control load with California's grid renewables,
22 avoiding GHG emissions and helps customers manage their
23 utility bills.

24 This table shows the pool control statewide
25 permanent load shift from peak for the proposal and the

1 alternatives. For the purpose of the analysis, "peak" is
2 defined as 6:00 p.m. to 10:00 p.m. The definition covers
3 the CAISO top four hours where the grid could experience a
4 shortfall in supply. During a single day in August, the
5 analysis shows all the proposals equally shift the load
6 away from 6:00 p.m. to 10:00 p.m. As the analysis expands
7 out to an entire month, we see the TOU alternate dropping
8 off in load shift from 6:00 p.m. to 10:00 p.m., because TOU
9 rates are prioritized.

10 Looking at the permanent load shift over a full
11 year, the default schedule has the greatest amount of load
12 shift from peak, because the pool control is on a default
13 operating schedule. The connectivity component of the
14 proposal could provide additional load shift from
15 individuals that have changed from the default settings and
16 are participating in a demand response program.

17 Additional contributions from the third-party
18 Demand Response Program load shifts are not included in the
19 analysis at this time. Shown here are the first year and
20 tenth year metrics for the five load serving entities for
21 the proposal, a 9:00 a.m. to 3:00 p.m. schedule. The
22 analysis was conducted at an hourly level for each of the
23 five load serving entities during the year 2024, for the
24 first year of the regulation. And the year 2033, which is
25 predicted to be when complete pool control stock has been

1 replaced with the 9:00 a.m. to 3:00 p.m. default schedule
2 models.

3 The alignment minimizes GHG emissions from
4 electricity generation and is advantageous to consumer bill
5 savings. For LADWP, the predicted utility bill savings
6 values are zero, because of their current fixed price
7 tiered rate structure. But there are still significant GHG
8 emissions avoided with the default schedule. Depending on
9 future TOU rates selected by LADWP, their predicted savings
10 could be similar to those of other load serving entities.
11 Staff used the best data available for the analysis to
12 determine the impact from the proposed 9:00 a.m. to 3:00
13 p.m. schedule. Moving forward with these first standards
14 for pool controls establishes a framework for flexible
15 demand applying standards. Next steps can build upon this
16 framework, and appliances can be revisited along the way.
17 The proposed regulatory language has been structured in a
18 way that facilitates future work. When better data is
19 provided to the CEC for analysis, additions and updates
20 would be considered.

21 The proposed standard is technically feasible and
22 can be met with many existing models and technologies
23 today. Shown here on this slide are a sampling of two
24 products sold today that are very close to meeting the CEC
25 proposed standard. One of these products sells for about

1 \$84 and the other sells for about \$70 both with free
2 shipping.

3 The proposed alternates are also technically
4 feasible with today's connected technology, utilizing the
5 CEC Market Informed Demand Automation Server otherwise
6 known as MIDAS or participating in other consumer selected
7 third-party services.

8 I hope that sharing these alternate connected
9 control strategies ideas with you today will inspire you to
10 think beyond the minimum CEC standards and incorporate
11 these advanced features into your product designs.

12 The staff proposed standards are cost effective
13 using a simple utility bill savings analysis. Staff
14 estimate the incremental costs to be \$70 to add scheduling
15 and connectivity to pool controls. There is a positive
16 savings to investment ratio for the standard, and the
17 average consumer will be paid back within the first year.
18 Over the 10-year life cycle, the average customer utility
19 bill savings for customers on TOU rates are \$1,225.
20 Research indicates a 10-year life expectancy is a
21 conservative approach. If the pool control lasts longer
22 than 10 years, the total savings will be much greater than
23 the number shown on the slide here.

24 The staff proposed standards will help California
25 avoid GHG emissions and help the consumers manage their

1 electric utility bills. Staff estimate that during the
2 first year of the standard, there'll be \$11 million dollars
3 of consumer utility bill savings and \$2 million worth of
4 greenhouse gases avoided. Staff estimate that during the
5 tenth year of the standard, and every year after there will
6 be about \$170 million of consumer utility bill savings, and
7 \$27 million worth of greenhouse gases avoided.

8 What I've shared with you today is just a small
9 sample of the draft staff report that is in our docket for
10 you to review in detail.

11 Right now time is 9:47, so we're a little bit
12 ahead of schedule. So we'll just pause here for a second
13 to give the court reporter a break. And we'll take a look
14 at the Q&A question questions. And we will start back in a
15 couple of minutes.

16 MR. HELFT: Hello, Nich? Let's answer a few
17 questions now if you have time and then we'll take a break
18 after that, and we'll be a little more specific about when
19 we will restart. You ready, up for a few questions?

20 MR. STRUVEN: Sure.

21 MR. HELFT: Okay.

22 MR. STRUVEN: Let's just make sure the court
23 reporter is still ready.

24 COURT REPORTER: I am here, thank goodness.

25 MR. HELFT: We'll take away --

1 COURT REPORTER: Okay.

2 MR. STRUVEN: So Bruce, do we have a question in
3 that Q&A there (indiscernible)?

4 MR. HELFT: (Indiscernible)

5 MR. HWANG: Our first question is from Bruce
6 Nordman of LBNL.

7 "The first slide mentioned Open Source. What
8 software are you referring to or do you mean open
9 standards? Do you agree with common definitions of this as
10 found in Wikipedia? Open Standards are standards made
11 available to the general public and are developed or
12 approved and maintained via a collaborative and consensus
13 driven process. Open Standards facilitate interoperability
14 and data exchange among different products or services and
15 are intended for widespread adoption." End of question.

16 Nich, you're muted. Are you trying to --

17 MR. STRUVEN: When you refer to the first slide
18 mentioned as open source, is that the statute that he's
19 talking about?

20 MR. HWANG: Yes.

21 MR. STRUVEN: Maybe we should let him talk?

22 (Indiscernible)

23 MR. HWANG: Bruce? Bruce Nordman, are you
24 available to elaborate your question?

25 MR. NORDMAN: Oh, sure. Yeah, I didn't realize I

1 was unmuted. Yeah, one of the first slides in this slide
2 set mentioned open source. And I was just unsure what is
3 being referred to. I assume you're talking about open
4 standards, which is a very different concept from open
5 source software.

6 MR. STRUVEN: Okay, I understand what you're
7 asking. So in the slide we were quoting our statute from
8 Senate Bill 49, which talks about that our standards shall
9 be -- contain open source and cyber security. So that's
10 really open for us to interpret. So if you have some
11 specific input of going one way or another, what we're
12 trying to do is really keep our standards open enough to
13 allow multiple pathways to achieve this. So if there's a
14 very specific definition you'd be interested in us to
15 follow, then please provide that comment to our docket so
16 that we could share that with everybody.

17 MR. NORMAN: Yeah. If that's the term used in
18 the statute, I would just say that the statute is using the
19 wrong term, which is awkward, I realize. But we should
20 recognize that and not pretend otherwise.

21 MR. HWANG: Okay, thank you.

22 MR. STRUVEN: Thank you. Is there another
23 question that anyone has?

24 MR. HWANG: The next question from Geoff Wickes.
25 Has the CEC done much evaluation on how homeowners support

1 connectivity with wi-fi for pool pumps?

2 MR. STRUVEN: Yeah, we've had some discussions
3 with the pool control manufacturers of the different
4 pathways that customers are using connectivity. So we have
5 had that discussion. In our docket I think there is a few
6 of those pathways spelled out, so I hope that answers your
7 question. And I predict that maybe Geoff might have
8 another question following.

9 MR. WICKES: Yes, thank you. This is Geoff
10 Wickes with NEEA Emerging Technologies.

11 One of the things we found with a pretty big load
12 here in the Northwest is with water heaters. And we found
13 that connecting wi-fi to water heaters, or wi-fi or even to
14 thermostats was really exciting for the first period of
15 time for homeowners. And then after changes to either wi-
16 fi passwords or gates, they lost interest in it and
17 connectivity was dropped. So it's having that pathway is
18 problematic for long-term savings. So we're suggesting
19 that there might be an alternative pathway, still have a
20 wi-fi pathway for consumer experience if they want to have
21 it. But for controlling on a regular basis, you might,
22 especially if you're going to get into dynamic loads or
23 load management, rather than the prescriptive ten to two or
24 three. So I would just make the comment that wi-fi can be
25 problematic for the homeowner.

1 MR. STRUVEN: Thank you, Geoff. And we also have
2 a period coming up later that --

3 MR. HWANG: There's a question from Jorge Gamboa.
4 "Just for clarification, most of the pool
5 controls today include Alternative 1. This entails basic
6 and complex scheduling procedures for filtration pump
7 speeds and heater setpoints. Question, will this
8 capability be considered compliant ready?"

9 End of question.

10 MR. STRUVEN: Yeah, I'm not sure if I can answer
11 that, with that amount of details right now. But what we -
12 - there is in our draft staff report, there is Appendix A
13 that I had highlighted with the proposed regulatory
14 language. And if you wanted to you could take a look at a
15 specific item that you've had in mind, a specific model,
16 and compare it to the requirements in the proposed
17 regulatory language. And if there's any concerns, then
18 please submit a comment to us with the proposed regulatory
19 language highlighting what should be changed or what you
20 recommend be adjusted.

21 MR. GAMBOA: I guess the integration was simpler
22 than that. Basically, I was just looking at the deck and
23 the staff recommendations are Alternative 1, 2 and 3, which
24 includes the time of use, the avoidance of emissions. And
25 then looking into the detail of only the time of use

1 scheduling it mentions. I mean, any means for the users to
2 select, in a specific time variation of the filtration
3 process, maybe changing the setpoints at some point. And
4 those things already exist on pretty much all the pool
5 controllers. And I use wonder if those will be considered
6 compliant already with that functionality in place?

7 MR. STRUVEN: It's possible. We'd have to look
8 and see if you know, all the details are met. I mean, it's
9 -- since I don't know exactly the model you're talking
10 about it's a little difficult to answer live. But please
11 reach out, we can go over it and talk about that specific
12 model and see how it does.

13 MR. GAMBOA: Thank you.

14 MR. HWANG: A question from SkyCentrics, Tristan.

15 "You mentioned TCP/IP as the mandated connections
16 standard. This is a very low bar. If OEMs provide that,
17 there is no common set of commands that they will be
18 required to follow. Therefore, every OEM will have a
19 variety of commands. And every aggregator or utility will
20 have to learn them all. Is there any plan to coordinate
21 around a common set of commands?"

22 MR. STRUVEN: Yeah, that's a good comment,
23 Tristan. I had mentioned in one of our slides that we're
24 setting up the framework for the standard. And as we go
25 forward, we can come back and revisit the standards as more

1 data is available. So as we get more information, more
2 data on how specific requirement maybe benefit or may help
3 this, then we can include that and make that update.

4
5 MR. DE FRONDEVILLE: Yeah, this is Tristan at
6 SkyCentrics. It's just interesting that as the person just
7 prior said, a lot of controllers already have scheduling.
8 They already have connectivity. And so the default
9 schedule is really the only thing new. Whereas focusing on
10 a set of commands, so that a utility can send all the
11 controllers a single command essentially, let alone the
12 fact that there might be different APIs to every single
13 OEM, so that that is where I think the Commission could
14 really benefit from moving the ball forward. So that's
15 what I want to encourage.

16 MR. STRUVEN: Okay, thank you, Tristan.

17 Do we have any other unanswered questions? We
18 have about two minutes left, and then we need to move on.

19 MR. HWANG: There is one more question from Geoff
20 Wickes.

21 "Will the CEC use a connectivity standard like
22 CTA-2045, that has standard command structures? Because
23 TCP/IP has a wide variety of command structures. I second
24 SkyCentrics' comments.

25 MR. STRUVEN: Yeah, that's a good comment, Geoff.

1 Thank you, and it's definitely something that has been
2 discussed and we'd like to see what all the stakeholders,
3 the pool control manufacturers also have to say. So we'll
4 be finding out on or before August 31st in the comments.

5 MR. WICKES: Geoff Wickes with NEEA, thank you
6 for considering it. I think there's already some command
7 structures in place that could easily be deployed and/or
8 used for pool pumps.

9 MR. STRUVEN: Okay, doing a time check right up
10 at 10:00 o'clock on schedule with our agenda. So next up,
11 we have a representative from the CPUC who will provide
12 comments on the proposed standards, followed by a guided
13 discussion from a Respondents' Panel moderated by Bruce
14 Helft, a member of the Flexible Demand Appliance Standards
15 team.

16 Daniel Buch is the Program Manager for Electric
17 Rates, Customer Generation, and Demand Response branch of
18 the Energy Division at the California Public Utilities
19 Commission. Welcome, Daniel.

20 MR. BUCH: Good morning. I want to start by
21 thanking the Energy Commission for inviting me today to
22 speak with you. By way of introduction, just a little bit
23 about me, I'm the Branch Manager for the Retail Rates,
24 Customer Generation and Demand Response branch in the
25 California Public Utilities Commission's Energy Division.

1 That's my current title. And in that role, I oversee CPUC
2 staff efforts related to demand flexibility, including
3 staff support for a new rulemaking proceeding devoted to
4 demand flexibility that the CPUC opened last week.

5 I also cut my teeth as an Energy Efficiency
6 Analyst at the PUC. And so I've had the opportunity to
7 work with Energy Commission staff over the course of my
8 career on all manner of standards, Appliance Standards,
9 Building Standards, and now Load Management Standards and
10 Flexible Demand Appliance Standards.

11 Going back to the CPUC's efforts on demand
12 flexibility, in addition to the new rulemaking proceeding,
13 we also released a staff report last month outlining what
14 we're calling the CalFUSE framework. That's the California
15 Flexible Universal Signal for Energy. CalFUSE fuse draws
16 heavily on the CEC's pathbreaking work in Load Management
17 Standards, particularly MIDAS to propose a new opt-in rate
18 design framework, incorporating dynamic rates, scarcity
19 pricing, subscription charges, and transactive energy
20 features to unlock and incentivize demand flexibility
21 solutions for customers.

22 Then for those who are interested in learning
23 more, CPUC staff will be holding an informational workshop
24 this Thursday, two days from now, at 9:30 a.m. to present
25 the proposal and answer questions from stakeholders.

1 Now pivoting to the Flexible Demand Appliance
2 Standards, I want to take this opportunity to offer my
3 enthusiastic congratulations to the CEC and to CEC staff on
4 reaching this exciting milestone. These are the first
5 proposed standard in Flexible Demand Appliance Standards.
6 This is a crucial cutting edge initiative demonstrating yet
7 again California and Energy Commission leadership
8 nationwide on energy standards.

9 Then I want to offer a second congratulations to
10 the CEC for hitting the ground running with a strong first
11 proposal. The staff report shows that the proposed Pool
12 Pump Standards will result in a windfall of GHG reduction
13 through a simple cost effective default schedule with the
14 opportunity for even greater future savings under other
15 ratemaking frameworks.

16 Now let me let me turn there. I want to talk a
17 little bit about sort of the path forward. And here is a
18 question for CCE staff to some extent, basic Internet
19 connectivity is a good baseline. Being able to update
20 device settings is important to ensure that schedules can
21 be updated easily, but the question here is does the
22 current standard allow for Internet controllability of the
23 pool pumps? It wasn't clear to me looking through the
24 report. Can the appliance, the pool pump, do something
25 when it receives data, the control signal?

1 And the reason this is important is that Internet
2 controllability would enable devices to be scheduled to
3 respond to dynamic prices or GHG signals by allowing the
4 decision logic to be Internet based, but still allow for
5 price or GHG response performance on the device. And so,
6 one question is whether or it would be possible to add
7 Internet controllability either to this phase or to a
8 future phase in order to unlock that dynamic response.

9 Now why that's important, particularly from the
10 from my vantage at the CPUC, is that future rates are
11 unlikely to look the same as our current rates. We
12 anticipate the introduction of more dynamic or hourly
13 rates, and high differential TOU rates. We anticipate that
14 those will be available on a widespread basis within a few
15 years. And so these rates are targeted at larger flexible
16 devices such as heat pumps and EVs. But any customer that
17 opts into one of these rates will have the rate apply to
18 all their appliances. So it's important that all the
19 appliances to the extent feasible, can flex in order to
20 respond to that dynamic hourly signal. And so I want to
21 encourage the CEC to incorporate hourly rates, at least for
22 larger flexible appliances in future phases of this
23 rulemaking. As we really do think that that that is where
24 ratemaking in California is headed.

25 Now one last comment for the CEC, which is future

1 oriented in response to some extent to Commissioner
2 McCallister's comments at the beginning of this workshop,
3 which is that we are really excited about this staff
4 proposal, and we think that it makes a lot of sense. But
5 we would also like to encourage CEC and its staff to be
6 strategic moving forward and to tackle standards updates
7 for the highest impact appliances as soon as possible.

8 There I'm really thinking about residential
9 electric vehicle supply equipment, thermostats, electric
10 storage water heaters, including heat pumps, and to a
11 lesser extent batteries. And we think that those are the
12 largest and most impactful appliances in the pipeline and
13 as such should be a priority.

14 So a few things to consider. There are big
15 investments being made now in electric vehicle supply
16 equipment. Everybody's aware of the rapid pace of electric
17 vehicle adoption in California and across the country and
18 elsewhere. And so we think that electric vehicle supply
19 equipment, which needs to respond, we need our EV chargers
20 and EV batteries to respond to hourly signals, not the
21 kinds of default scheduling here. And because they are
22 likely to be one a major addition to the grid, and they
23 have the ability to flex in a number of different ways, so
24 that we can support the grid and reduce costs for all
25 ratepayers and reduce costs for EV owners.

1 Second, battery manufacturers already generally
2 include sophisticated control system, I'm thinking here of
3 standalone storage. So that may be a lower priority, but
4 electric vehicle supply equipment is really right up at the
5 top.

6 Another thing for the CEC to consider when it's
7 figuring out which appliance standards to tackle next, is
8 which appliances have the longest useful lives.

9 And then finally, just something to consider.
10 You know, the CPUC conducts demand response potential
11 studies. And our most recent study is showing that there
12 is significant technical potential for things like light-
13 duty electric vehicles, and residential thermostats. But
14 thus far, we have not been able to achieve that potential
15 through our demand response program offerings or we have
16 not been able to achieve -- we've achieved some, but
17 there's a lot of technical potential still out there.

18 And we think that the dynamic rates are perhaps
19 the key to unlocking that potential and having the response
20 come from flexible loads and from load modification by the
21 customer. However, the Flexible Demand Appliance
22 Standards, and standards for that equipment will be crucial
23 in ensuring that the device is actually can and will
24 respond to the signals coming from rates.

25 So I want to close by congratulating this CEC

1 once again for a very strong proposal that really moves the
2 ball forward on demand flexibility. And the CPUC staff
3 looks forward to productive stakeholder feedback and
4 ultimately the rapid adoption of these first-in-kind
5 standards. And I want to thank the CEC for the opportunity
6 to speak today and for its continuing partnership with the
7 CPUC on demand flexibility initiatives. We look forward to
8 continued staff collaboration between the agencies on these
9 and other related initiatives moving forward. Thank you.

10 MR. HELFT: Thank you, Daniel, and for taking the
11 time to step up today and make your comments. We heard
12 them loud and clear. Good news is we're like minded and
13 moving forward, as you describe.

14 Before we take a short break and start again at
15 10:15 I'm wondering if Commissioner McAllister had any
16 thoughts that he'd like to respond to what Daniel said? If
17 not, we'll just go silent for about five minutes and come
18 back at 10:15.

19 Commissioner McAllister, yes, no?

20 (No audible response.)

21 MR. HELFT: I guess not. So, Daniel, thank you.

22 And to stay on schedule let's take a five-minute
23 break. We'll resume with the Respondents' Panel at 10:15.

24 (Off the record at 10:11 a.m.)

25 (On the record at 10:15 p.m.)

1 MR. HELFT: Good morning, my name is Bruce Helft.
2 And I will serve as the Panel Moderator for this 45-minute
3 session. I'll just take a moment to let you know that I am
4 joined today, here in our new offices headquartered at the
5 California Natural Resources Agency at 8th and P, a Clean
6 and Healthy Building, joined by our Electrical Engineer, Ho
7 Hwang. And our Electric Generation System Specialist,
8 Livinus Ishaya.

9 I serve as a Research Scientist and Energy
10 Specialist for the California Energy Commission. And I'm a
11 member of the Flex Demand Standards Team.

12 Today, we have four knowledgeable participants
13 making up a Stakeholder Respondents' Panel. The stakeholder
14 representatives will participate in an open discussion
15 sharing their thoughts on the proposed language and draft
16 staff report.

17 Three broad topics will be discussed. The
18 panelists were given the topics ahead of time to prepare.

19 It is our hope that this guided discussion will
20 stimulate thought and reveal strengths and weaknesses that
21 staff can then use to improve the final report and
22 regulatory language. Further, we hope that it may serve to
23 set the stage for comments by the public, immediately
24 following this panel. The plan is for our discussion to
25 take us up to 11:00 a.m. If we finish sooner, we'll just

1 go ahead on to the public comments when we finish up this
2 Respondents' Panel.

3 Joining us today are, from the Natural Resources
4 Defense Council Inc. Pierre Delforge, Director, Clean
5 Buildings. From the Pool and Hot Tub Alliance, Jennifer
6 Hatfield, Regulatory Affairs, Consultant for Pool and Hot
7 Tub Association. From Pacific Gas and Electric Company,
8 Mary Anderson, a Program Manager, Codes and Standards. And
9 from WattTime, Henry Richardson, an Analyst. WattTime is an
10 environmental tech nonprofit that empowers people,
11 companies, policymakers and countries, to slash emissions
12 and choose cleaner energy.

13 Let's go to our first discussion. Ho, are they
14 all unmuted?

15 MR. HWANG: Yeah.

16 MR. HELFT: Great. Thank you. Thank you,
17 Commissioner.

18 As we just heard, staff developed and evaluated
19 four scenarios, and is proposing a standard for pool
20 controls that require a default schedule.

21 “How does the statewide standard for pool
22 controls that prescribes periods of operation to be during
23 times of low GHG emission intensities and cheaper
24 electricity rates, bring benefits to pool owners, residents
25 and low-income and or disadvantaged communities, consumers,

1 others?"

2 MR. HELFT: Yes, I was not going to call on you
3 individually. I was hoping that you could just discuss as
4 you would, if the five of us were together, and speak up
5 whenever you have something to say please.

6 MR. DELFORGE: Well, somebody needs to go first.
7 So maybe I can jump in and open the way and hear from my
8 colleagues afterwards.

9 So first, thank you, Bruce. And my name is
10 Pierre Delforge, I'm now with the Natural Resources Defense
11 Council and I lead analysis and advocacy work on building
12 and decarbonization. And I'm thrilled to be here today
13 with all of you, and I congratulate you on this milestone.
14 I think this first staff proposal on Flexible Demand
15 Appliance Standards is leading to a momentous event once it
16 gets adopted, similar to the Title 24 Building Code or the
17 first Title 24 Building Code and the first Title 20
18 Advanced Energy Efficiency Standards. It's certainly as
19 important in our view as we focus on science-based climate
20 targets that will require complete decarbonization in the
21 building sector and you know, full controls are a part of
22 that.

23 Building decarbonization means we need to use the
24 least energy from the cleaner source at the right time. So
25 this energy is energy efficiency, cleaner sources from

1 electricity, and from clean electricity to a renewable
2 electricity, and at the right time is demand flexibility.
3 So it's one of the three major pillars for decarbonizing
4 our buildings. It will reduce emissions by avoiding
5 electricity use from the dirtiest power plants. It will
6 also enable a highly renewable grid by adjusting demand to
7 when renewable energy is available.

8 But perhaps most importantly, and one I want to
9 emphasize -- and the reason I want to emphasize the most,
10 is that demand flexibility is going to put downward
11 pressure on electric rates. Because it reduces the cost to
12 meet demand. And it shifts the use of electricity to times
13 when it is cheap and abundant. And that's really important
14 as we look to decarbonize and to shift electricity use to
15 clean energy, is we need to make sure it's affordable.
16 It's cost competitive. And it's accessible by all, so we
17 can fully decarbonize the building sector.

18 So that's one of the key things I see behind
19 demand flexibility. It enables us to cost effectively and
20 affordably decarbonize the building sector. And I think
21 these standards are a first step toward that. Obviously,
22 there's many more steps to be taken. But I think it's a
23 good first step. So I'll pause here and open it up for my
24 colleagues.

25 MS. ANDERSON: So Pierre, I really appreciate

1 what you said. I want to second that the CEC really did
2 find a novel solution to really difficult issues. And the
3 power of these standards has the opportunity to increase
4 the deployment of grid enabled technologies that are needed
5 for decarbonization, and reduce costs and benefits for all
6 consumers, especially those who are typically
7 disadvantaged.

8 And we believe that the pool controller standard
9 can help consumers reap benefit from current and future
10 electricity rates by promoting off peak appliance
11 operation, which should reduce costs, as well as reduce
12 greenhouse gases. And I think that is a wonderful -- this
13 is a wonderful step to begin this journey, so.

14 MS. HATFIELD: Good afternoon. This is Jennifer
15 Hatfield. I represent the Pool and Hot Tub Alliance. And
16 you know, I want to first note that we applaud the CEC for
17 their work on this proposal and thank them for allowing us
18 an opportunity to be a panelist today.

19 Our members support the efforts to reduce the
20 energy demand by establishing the statewide standard for
21 pool controls. And we'd want to note that the good news is
22 that modern pool controls already exist in the market, and
23 are being used by some consumers, pool owners, already to
24 provide a total connected control operation for the entire
25 pool pad. And it's important to note that includes the

1 pumps, the sanitizers, chemical regulators, the heater, the
2 lighting, etc. The use of the controls can be optimized
3 for the emissions.

4 And excuse me, sorry. I hope everybody can hear
5 me, my Internet was going in and out.

6 So having a statewide standard will hopefully
7 mean more homeowners will take advantage of this option to
8 lower their utility bill and lessen demand on the grid for
9 the benefit of all Californians by shifting equipment
10 operations to the lower peak times as practically as
11 possible. It's important to note practically as possible
12 is also critical to ensure the safe operation of the pool.
13 So there's got to be that minimum flow and turnover rate to
14 maintain proper water quality. Otherwise, the consumer is
15 going to end up with a green pool that may not utilize --
16 they may then decide not to utilize this program. So we
17 believe that proposal does provide the flexibility needed
18 to account for this in most cases. You know, we'll have
19 some thoughts on improvement, but we believe this is a good
20 first step for pool owners and consumers and for all the
21 citizens of California. Thanks.

22 MR. RICHARDSON: I think I would add here as well
23 that the paradigms shift away from an event-based DR to
24 continuous optimization is a pretty large paradigm shift
25 for demand management. And that's kind of a new way of

1 thinking about load management for consumers. And so a
2 pool owner would actually -- I think the staff report very
3 clearly demonstrates both the benefit to pool owners and
4 other residents of California. I don't know that there's a
5 lot to add here other than there's, I think, a relatively
6 low cost option to get a lot of benefit.

7 One thing that isn't potentially addressed, is
8 the potential emissions benefits that are non-CO2, so
9 health damaging pollutants like NOx, SOx, and particulate
10 matter. By shifting away from those dirty generators we
11 would have a benefit for those local residents and adjacent
12 to those power plants. So the less we can rely on those
13 dirty generators, the better and can stock up excess
14 renewable energy.

15 MR. HELFT: I'm glad you raised this point,
16 Henry. Because one of the primary, if not in the first
17 position, in terms of what is to be considered when
18 implementing Senate Bill 49 is the reduction of greenhouse
19 gas emissions. And that's why Bullet Number 2 in this
20 discussion topic is important, because even though there
21 may not be pools in certain communities, there is an
22 advantage widespread throughout the state for the option
23 that's been proposed by staff.

24 Did anybody have any comments or thoughts about
25 how the proposed standard benefits residents of low-income

1 or disadvantaged communities other otherwise?

2 MS. HATFIELD: I will just note, this is Jen
3 Hatfield again with the with the Pool and Hot Tub Alliance.
4 It wasn't just swimming pools are not prevalent in these
5 communities, however the same benefits to pool owners
6 should apply here, because of that overall reduction in the
7 grid load during peak demands that may indirectly benefit
8 these communities.

9 MR. RICHARDSON: Well, one thing we like to
10 emphasize here is that consuming -- if you increase
11 efficiency adjacent to a power plant, it doesn't mean that
12 power plant will reduce load just because of how the grid
13 is managed in marginal pricing. So a load reduction
14 anywhere could affect the dirtiest peaker plants, which are
15 often in the Central Valley. And so load reductions on
16 those power plants will mean that they pollute less and
17 less pollutants will be trapped there, hopefully. And so I
18 would say that there's not a -- adjacency is not an
19 indication of benefit in terms of load reduction.

20 MR. DELFORGE: This is Pierre. The only thing I
21 would emphasize is to try and maximize the grid benefits.
22 And when we talk about the grid is not an abstract, you
23 know, it's not a grid for itself. It's because the grid
24 costs are societal costs, a cost borne by all customers and
25 low-income customers are often the ones who have a

1 disproportionate portion of their disposable income spent
2 on energy, and who experience energy burden. So the
3 benefits on reducing grid costs and putting downward
4 pressure on rates really benefits low-income customers
5 disproportionately.

6 I just want to also address the question of why
7 do we need standards for pool controls? And if we have a
8 technology that already has this and people can voluntarily
9 adopt it, why are we just not waiting for that to happen?
10 And I think the real question here is the magnitude and the
11 urgency of ramping up demand flexibility, we're seeing
12 today already some supply constraints on the grid during
13 hot summer evenings with some potential reliability risks.
14 And that's today's issue and tomorrow's issue for the next
15 few years, as we move towards decarbonized buildings and
16 electrification of heating.

17 In particular, we're going to move towards a
18 winter morning peak. For those of you who were on
19 yesterday's workshop, I think some interesting slides were
20 showing how the grid is going to evolve to be peaking or be
21 strained on winter mornings when it's coldest and heat
22 pumps are working at full speed and there's no renewable
23 energy on the grid. It's before sunrise.

24 And I think we need to -- these appliance
25 standards have a long line of sight. They take ten years

1 to transform the market, so that problem, the time to
2 address it is now. And I know we need to think about how
3 to shape the market starting today, so that we mitigate
4 this issue that we can see coming, and that will be an
5 issue if we don't act today.

6 So I think standards are the right way to set the
7 stage for all of the industry to have certainty, to have a
8 clear line of sight, and to know where to invest and where
9 the market is going. And to do that at a pace and scale we
10 need, to address our challenges proactively.

11 MS. ANDERSON: So one of the things that I want
12 to add to what Pierre said is that we've learned from the
13 CPUC evaluations, that behavioral changes and being able to
14 shift demand to off-peak times works, that it doesn't work
15 long term. And so having been able to remotely control or
16 manage the use of not only pool pumps, or other appliances
17 as well, can improve the longevity of the savings and the
18 reduction in greenhouse gases.

19 And I think that's really important. We all have
20 the best of intentions, but sometimes we lose steam as we
21 continue to try to do the right thing. So I think this SB
22 49 flexible demand, as we move towards -- you know, further
23 down the road I think that ability to kind of bring people
24 back to what they intended, is going to be a huge benefit
25 going forward for all consumers, not just those who own the

1 appliances.

2 MR. HELFT: Let's move on to the next topic
3 please, advance to Topic Two. "How can the proposed
4 standards for poor controls be improved, to better address
5 the reliability of the electricity grid in California?"
6 That is that energy efficiency is kind of a clear lane with
7 in that you can use less amount of electricity to perform
8 the same amount of work. That's energy efficiency.

9 In the case of Flexible Demand Appliance
10 Standards, we're talking about shifting load. And I'd like
11 to hear your thoughts on how that actually can improve the
12 reliability of the grid. Is there a direct connection
13 between shifting load and grid reliability?

14 MS. ANDERSON: So this is a big piece for PG&E.
15 PG&E supports using SB 49 standards that would increase the
16 deployment of grid-enabled technologies with two-way
17 communication between the consumer and the grid or the
18 utility, such as open ADR communication. It would be
19 useful to leverage the proposed connectivity feature to
20 actually access and take advantage of rate and GHG
21 information, such as information from the CEC's MIDAS
22 database. This rulemaking lays a wonderful framework for
23 future operations where devices can flexibly respond to
24 price and GHG signals.

25 And I think part of what makes this really

1 important is as we improve the availability, it reduces the
2 cost and allows our disadvantaged customers or
3 disadvantaged communities to be able to own at a reasonable
4 price these grid-enabled technologies. So they can also
5 manage their bill seamlessly and not have to think about it
6 just as you know, many other people will also be able to
7 do. So we see this as a really important component and the
8 CEC has one of the strongest tools in their toolbox to be
9 able to make this happen from our perspective.

10 MS. HATFIELD: This is Jen Hatfield again with
11 PHTA. You know, we believe the CEC's generally on the
12 right track in using full control to shift load and address
13 grid reliability. The critical items we believe would be
14 to have simplicity and value for the end user. Otherwise
15 users will simply opt out if the program is cumbersome,
16 difficult to use or if they experience problems with full
17 sanitation. To this point, the standard should consider
18 maybe including the allowance of low speed filtration
19 outside of the 9:00 a.m. to 3:00 p.m. default run schedule.

20 Another aspect, you know, our members have noted
21 as we're reviewing the report, you know, is how will the
22 standard incentivize or require that the separate pool
23 control is purchased and connected? You know, if the
24 objective of the standard is to connect all newly purchased
25 pool pumps, that may be something that needs to be

1 reconciled so to increase that you better address the
2 reliability on the grid in California.

3 You know, a couple other things. I mean we've
4 just as we've been reviewing that's important, we think the
5 pool controls need to have the ability to be readily
6 connectable. But the wi-fi interface, radio transmitters,
7 should be allowed to be sold separately and not required to
8 come with the product so long as that product includes
9 provisions for connectability. And one reason for this is,
10 you know, main manufacturers aren't going to know where the
11 products are going to be shipped.

12 And I know there might be some questions that
13 come up later, other states may have different default
14 schedules in the future as well. So, you know, that's
15 something that we think is something that should be thought
16 about. And another critical reason for that suggestion is
17 that some of the proposed requirements could stifle
18 innovation. Many existing pool controls don't have the
19 level of scheduling in their design. And we think more
20 time needs to -- we need to have a lot more time to
21 implement. But also, for example, if the client already
22 has a connected pool pad and just wants to upgrade their
23 pool controls, they wouldn't need to pay for Internet
24 transmitters if they already have a compatible system in
25 place. They can just purchase the pool controls that

1 include provisions to connect to their existing systems.
2 So that's just some of the thoughts we had about increasing
3 that. Improving, you know, the proposal and thereby the
4 reliability on the grid.

5 And I know this may be somewhat off base, out of
6 scope. But one of the things that has come up as a
7 challenge here in California is you're trying to adjust the
8 reliability on the electricity grid, but we also have the
9 reach codes and decarbonization efforts to eliminate gas.
10 And that's forcing a lot of these new construction pool
11 designs to use only the electric heat pump pool heaters,
12 which increases the electrical load versus the gas heater.
13 And I get it. I just think it's an interesting dilemma
14 that we have as we're trying to address both factors. But
15 that's just some of our thoughts.

16 MR. RICHARDSON: That's really interesting. I
17 think it's a balance of our decarbonization goals and grid
18 reliability goals, which I think this standard really tries
19 to address. Which is not only to electrify but to
20 electrify intelligently, so that we can get both of those
21 outcomes, which is decarbonization and less reliance on
22 natural gas. As well as maximizing the emissions benefit
23 of that electricity consumption while trying to avoid
24 negatively impacting the reliability grid.

25 And I think one of the most powerful things about

1 this standard right now is that default. Because it is a
2 default, people have to actively opt out. And so just like
3 organ donations is much higher in states where it's a
4 default on your license. I think it's just acknowledging
5 that by making it required and standard and every device we
6 will have much higher adoption rates, even if a small
7 percentage of people do choose to opt out.

8 I don't know if that -- does that kind of begin
9 to answer some of those questions?

10 MR. DELFORGE: Yeah, if I can chime in, I
11 completely agree and second what Henry just said on
12 personal default. And on how this standard is critical to
13 help balance these objectives of reliability and
14 decarbonization.

15 I think there are two things that can be done
16 with this standard to further address or accelerate the
17 help on reliability on the grid. One is on the connectivity
18 requirements. And I know this is one of the third topics,
19 so I'm going to save it for the next discussion. But the
20 second one is actually to go into effect as quickly as
21 possible, and to open, you know, to lay a good foundation
22 for the next set of standards. So really pool pumps and
23 pool controls are important, but they're not the biggest
24 load or the elephant in the room.

25 And I'm going to echo Dan Buch's comments, and

1 his opening comments, are the electric vehicle charging
2 stations, electric water heaters. And those are the big
3 elephants in the room that we need to address very quickly.
4 So the better foundation we can set and the quicker we can
5 afford to address those big loads, I think the more impact
6 we're going to have on the reliability on the grid.

7 MR. RICHARDSON: Actually, I want to echo
8 Daniel's comments here as well. I think default schedules
9 and connectivity are two of the key steps. But a third
10 critical step is the controls necessary to actually shift
11 that load based on that signal. So connectivity alone is
12 insufficient. You also need the ability to control that
13 device to respond to signals.

14 And I would consider the default schedules
15 necessary for devices that drop out of connectivity where
16 it's hard to communicate with them. But it's like a blunt
17 axe, when you're trying to like shift load dynamically in
18 response to changing grid conditions. Not every day will
19 have the same amount of solar. You want to avoid peaks in
20 different ways. Maybe you want a morning bias or evening
21 bias, I think there's a lot of additional sophistication
22 that could be achieved with active connected controls,
23 instead of default schedules.

24 The ability to communicate can be so much more
25 than -- it can send commands that can explain state not

1 just update the default schedule or things like that. I
2 think that's a pretty, that's a big step in terms of
3 sophistication. I think Daniel from the PUC addressed this
4 pretty comprehensively.

5 MS. ANDERSON: So one issue, one worry that I
6 have with pools, is that it isn't just the consumer who
7 manages the controls for the pools. It's also their pool
8 professional. And the pool professional, based on research
9 done by the PUC, indicates that they change the scheduling
10 to be on when they're there, so they can see if it's
11 working. And they try to put it on for as long as
12 possible, so they don't have to spend as much time brushing
13 the pool. And so putting it back, so it can default after
14 a specific time. Or indicate to the customer somehow "hey,
15 if you changed your schedule, it got moved back on this
16 date or something, and if you move it back you could save X
17 number of dollars, or you could save money".

18 I think providing that ability would be huge,
19 especially with this technology where consumers don't
20 always pay attention to when their pool is on. They don't
21 notice and they're not the ones that are taking care --
22 typically most consumers have someone else handling the
23 operation of this major appliance in their home.

24 MR. RICHARDSON: You think a maintenance mode, or
25 a "must run" like button would address that as well? Like

1 "run now," so that I can see it running, Mary?

2 MS. ANDERSON: Potentially? Potentially. I
3 think part of it is training for pool professionals as far
4 as what that means. But I think it's just so habits are
5 hard to break, right? And I think this has been a habit
6 for the pool industry for decades. And it's not a bad
7 thing. It's just not optimal for greenhouse gas reductions
8 or cost reductions for the consumer.

9 MR. RICHARDSON: Similarly, do you think pool
10 maintenance companies should be as much of a target of this
11 standard as owners, in the sense that they're going to be
12 the ones adjusting schedules, actively managing the
13 devices? Are they a useful kind of means of more
14 effectively more implementing standard?

15 MS. HATFIELD: Well, and this is Jen, and I would
16 say yeah, definitely. I mean, you know what we've done
17 historically at Pool and Hot Tub Alliance is provide a lot
18 of education on certain regulatory requirements, whether
19 they're at a state or federal level. And I think when this
20 proposal is a final rule, we'll do the same.

21 You know, we need to -- and our manufacturers
22 also, they work to help educate the builders and service
23 professionals that utilize their products.

24 So I think it's definitely important that
25 whatever the final rule is, that we work to ensure that

1 they understand what is being put in place in California.
2 So they can help educate themselves, but also educate the
3 homeowner. So I think that's something -- the
4 collaboration that we look forward to doing, and hopefully
5 in leading that effort with our partners in California

6 MR. RICHARDSON: There's a somewhat linked
7 question that came in from the chat, could Jennifer provide
8 what percentage of pool pumps market is in California, and
9 do other parts of the US require demand response and/or
10 other types of time-of-use controls? Do you know that?

11 MS. HATFIELD: I can tell you that I know part of
12 it. We're not aware of any other mandatory demand response
13 or voluntary demand response pool pump programs. But I
14 think that California tends typically as a leader in these
15 things, so we do think that that will grow and follow. So
16 yeah, not yet is the answer on that. But as it does grow,
17 that's why I made my comment that that is some of our
18 concerns, though. Is that manufacturers can't just say,
19 "Oh, these are going to get shipped to California versus
20 Iowa versus..." You know, that's something that we know for a
21 fact, for future.

22 Regarding the percentage of pool pumps in
23 California, I don't have an exact number right now. I'm
24 definitely happy to find that information and get to it. I
25 mean, we do know California is really an extremely large

1 market for the pool industry. So but the exact
2 percentages, I'd have to find that out and comment back
3 later.

4 MR. HELFT: In the appendix of the staff report,
5 you will find this kind of data that we use to project all
6 the way through 2033. So it is in our report.

7 I did want to pick up on something that Mary
8 said, and others as well. Modeling after what's being done
9 with the Tech Initiative in terms of heat pump water heater
10 promotions and installs here in California, outreach and
11 education, to in this case the maintenance and pool
12 installers, will be very important to help them know how to
13 install these properly. And set them up properly, even
14 though they're coming out of the box already with the
15 default mode, as we described in the standard. But also to
16 educate the consumer. So that gets back to what was being
17 discussed by Mary as well.

18 So we look forward to working with our partners
19 at the IOUs, who have helped us so much in the past with
20 getting outreach and education programs, trainings, FAQs,
21 fact sheets, graphics, even videos and YouTubes out, so we
22 can help educate all who will be involved with this.

23 I'm very pleased with all this discussion. I
24 thought maybe we should just move on to the Topic 3,
25 because that one has been mentioned a few times. The

1 connectivity requirements for appliances under the scope of
2 this authority are intended to accelerate the market
3 towards adapting technologies that enable devices to
4 receive current and future time varying rates, greenhouse
5 gas emission intensities associated with the local
6 electricity generation. And power emergency events via
7 web-based data distribution services such as MIDAS, which
8 is the CEC's market informed demand automation server or
9 other similar devices.

10 So under this proposed regulation, the devices
11 must be capable of receiving data from the Internet and
12 perform clock synchronization. We're hopeful, of course to
13 do all that, the power that's quickly becoming available
14 through pushes or pulls from MIDAS. But are you aware of
15 any concerns about such a kind of connectivity requirement?
16 For example, access for low-income households,
17 cybersecurity, exposure of personal information etc.

18 And finally, just to conclude when we get to it,
19 what are your thoughts on some of the next steps to be
20 addressed?

21 MR. DELFORGE: I'm going to chime in first here.
22 So first, I want to say that I think the approach that the
23 CEC is proposing with having a default schedule and being
24 connected ready is a really strong approach. It kind of
25 echoes what was done with the heat pump water heaters with

1 Joint Appendix 13 of Title 24.

2 I think that one of the areas where this doesn't
3 go far enough is in the connectivity requirements. I think
4 that in order to realize the vision that you are pursuing
5 here, which I think is the right vision of connected and
6 responsive appliances, we need to have a strong foundation
7 for these appliances to remain connected over their
8 lifetime. And right now the majority of appliances are
9 using wi-fi. It's cheap and convenient and it works well
10 the first time you connect it. The problem with wi-fi is
11 it doesn't stay connected very long. It doesn't stay
12 connected because the pool control may not be within range
13 of the router. The passwords and routers change regularly.
14 Tenants change. Owners change. The likelihood that a wi-
15 fi connected device is going to remain connected for its
16 life is really low. I would not bet any money on that.

17 I think if we rely on Wi-fi for connectivity, on
18 the fleet level, we're going to have very, very low
19 connectivity rates. Even if all devices get connected at
20 installation, it is going to go down, the connectivity rate
21 is going to go down very quickly over the next few years.
22 And we're not talking about a cell phone that people just
23 change every two or three years, we're talking about
24 devices that are supposed to last 10, 15, 20 years. And
25 we need the device to remain connected over that time, not

1 just 2 or 3 years.

2 And to do that, I think we need to set a standard
3 of open access at the device. So that whatever
4 communication technology will be the winner of that
5 flexible demand appliance connectivity in the next few
6 years -- we know it's not wi-fi, we don't know which one it
7 is yet. It might be cellular. It might be FM radio. It
8 might be the next wi-fi, number seven or eight or whatever
9 that is, we need the devices that are sold today to be
10 upgradeable. Not to be stranded with current wi-fi, but to
11 be upgradable to that device. And that requires some USB
12 type device, or ports that just like we have, we plug in a
13 USB dongle that does whatever on your laptop, you can do
14 that on devices.

15 So that's the open standard that will also meet
16 Jennifer's need, I think, to not necessarily ship that
17 dongle or that connectivity everywhere. But to be able to
18 add it where needed. And it will allow upgradability and
19 will allow these devices to remain connected over their
20 life. So I really strongly encourage the CEC to consider
21 this as an enhancement to the current proposal. So that we
22 are really talking of a fleet of devices that will be
23 connectable over the life, and not just a couple years
24 after installation.

25 MR. RICHARDSON: Okay, in that case, would you

1 actually call for that even today those devices still ship
2 with some something plugged into that port that could be
3 changed?

4 MR. DELFORGE: In California, I think that would
5 be either it's in the box and you plug it in, or it's
6 plugged in already. No, I don't have the details. But I
7 think what's really important is to have that open access
8 on the device. So I mentioned USB for laptops, everybody
9 knows it, I think for flexibility demand appliances the
10 emerging standard is CTA-2045. And I know it's not
11 complete, there's still similar work happening and if
12 that's normal. But requiring it is the best way to make
13 sure that this work is finalized, but manufacturers get
14 involved. And that we all settle on something that works.

15 And if we don't require it, then we're going to
16 end up with a fleet of devices that have Wi-fi built in and
17 are not future proofed.

18 MR. RICHARDSON: Yeah. Okay, so there was
19 another comment from Geoff, in supporting Pierre's comments
20 on wi-fi not staying connected long term, but not dongles.
21 I guess it sounds like Pierre was speaking to that when he
22 said it's not really just a connectivity port is the key
23 thing that is standardized.

24 MS. ANDERSON: And what Pierre said, I don't know
25 that there's anything that could be added. But I think

1 what he said is so important. This is so powerful if we
2 can keep these products connected, and continuing to be a
3 powerful resource for the grid. And also an amazing
4 opportunity for customers to maintain their utility bills
5 at a specific rate, so they don't have to spend more than
6 necessary. That's so important.

7 COMMISSIONER MCALLISTER: Hey, everyone, this is
8 Commissioner McAlister. I want to just chime in here. I
9 agree. This is a fundamental, just foundational super
10 important part of this conversation. And, you know, I
11 think so Pierre, so you mentioned -- there's discussion
12 going on, there's not quite consensus. And I agree it's a
13 conversation we need to have. It's vital that we have it.

14 I guess, you know, in the broad scheme of things
15 not just with pool controls, but also water heaters say and
16 other devices that are coming down this path here
17 presently, I'm a little concerned. So we're a regulatory
18 body, we're a standards-making body at the Energy
19 Commission. We do that well. I think we run the processes
20 well. And we would do so, we will do so here as well.

21 You know, in this case we're kind of leaving the
22 controls methods. And so in this proposal right now as it
23 stands, we're leaving the kind of comm and controls and
24 methods and details to the manufacturers. I wonder if any
25 of you have sort of further comments on this trade-off

1 between a highly detailed standard that could include even
2 a port like a CTA-2045 or some hardware as well as an
3 and/or a communications protocol like Open ADR or another
4 one. Or a communications protocol, and then sort of a
5 dispatch protocol, if you will. Like we could dictate
6 those things.

7 I guess I'm wanting to kind of hear further
8 insight about the trade-off between kind of that approach,
9 which is sort of a heavier regulatory approach. And one
10 that does leave the kind of development of the specifics to
11 the manufacturers. And I see the attractiveness of that
12 latter approach, but I also kind of worry that it could
13 make the dispatch, the implementation more diffuse and less
14 predictable. And kind of get us wrapped around some
15 proprietary approaches that may be counterproductive.

16 So I want to know, I guess I want to hear sort of
17 how big of a risk or you know how we achieve that balance?
18 How big of a risk that scenario might be?

19 MS. HATFIELD: Well, this is Jen from the Pool
20 and Hot Tub Alliance. Sorry, I can't be on the screen with
21 you all today. I'm out of the country doing this, so this
22 is a more reliable way to call in.

23 COMMISSIONER MCALLISTER: Thank you for being
24 here. That's fantastic. We appreciate it.

25 MS. HATFIELD: No worries.

1 No, I would say that it is a tough dilemma that
2 you're in. I would note from the manufacturers industry
3 standpoint you don't want to stifle innovation right, by
4 being too narrow. And narrowing it down to a single
5 standard and being too specific, because that could
6 actually decrease future energy savings and innovation that
7 the industry can do. But also maybe you don't want it to
8 be too broad and too specific as well.

9 You know, I think finding that middle approach is
10 probably what's most practical for our industry and our
11 members. You know, existing API system can be made
12 compatible to open ADR protocol. But it's going to
13 definitely require significant investment by manufacturers
14 to do that.

15 And I think that's the other side of the thing,
16 that depending on which way you go. There may need to be
17 more time allowance. I know that you guys are eager to get
18 this first one out the door. And the effective date is
19 right now proposed for January 1, 2024. But I mean, we
20 think we need more time to also address this and make sure
21 we're actually going to be able to put the investment into
22 follow whatever the final proposal is. So I would just
23 caution not being too prescriptive. You don't want to
24 stifle innovation long term.

25 MS. ANDERSON: So one of the things that I -- oh,

1 go ahead, Pierre.

2 MR. DELFORGE: After you, Mary.

3 MS. ANDERSON: So I absolutely agree. And so I
4 worry about it being too prescriptive. But I do believe
5 there's a lot of power in having the CEC involved. They
6 are able to push movements where other parties cannot. And
7 so even if the CEC doesn't mandate it, I think having the
8 CEC staff involved is so powerful and engaged in a
9 productive manner to help all the parties come to a
10 consensus.

11 Yeah, I can't -- there's no way to underline how
12 important the CEC staff is coming to an agreement for all
13 the parties.

14 MR. DELFORGE: Yeah, I would add to that, that I
15 agree this is the right question. What is the trade-off
16 between being too prescriptive and not enough? And I my
17 sense is, at the moment, the requirement of just TCP/IP is
18 just not prescriptive enough just to fall on the other
19 side.

20 And standards need some pull from regulation. I
21 think once the standard is required, you're going to see a
22 lot more traction from the industry to develop it, to adopt
23 just like I think Geoff Wickes mentioned, and I think
24 Tristan as well, a standard set of commands. I mentioned
25 an open standard physical access at the device, those are

1 going to need to be required if we want to get them
2 adopted. I think voluntary is not in the lead there. It
3 doesn't mean they have to be exclusive. It doesn't
4 prescribe or preclude wi-fi on the device, built into the
5 device, or some other type of connectivity. But it
6 provides a minimum standard that guarantees access, long-
7 term access to the device, and long term interoperability.

8 So I think, to me, that's the minimum standard
9 that we should build on. And then if manufacturers want to
10 do something else, it doesn't prevent them from doing so.
11 It's just a starting point, so a foundation.

12 MR. RICHARDSON: I do want to pick that apart
13 though. So there's the connectivity issue, how you get
14 access to the device, and then how you control it. And
15 those are not necessarily the same thing, and I don't know
16 how much they can be divorced or not.

17 MR. HELFT: If I could just mention something on
18 behalf of staff, early on when we were working on the draft
19 of these standards, we reached out quite a bit to our
20 friends in Australia that do have a set of commands. And
21 we were headed in that kind of a direction, but then
22 realized that we have to get something to start with. And
23 this is our first iteration of the standards for flexible
24 demand. We wanted to get something out to the public and
25 in the works and can certainly be revisited and updated as

1 time goes on.

2 So take it for what it is at this stage. And
3 it's a work in progress to be improved. Commissioner?

4 COMMISSIONER MCALLISTER: Yeah, Bruce. I just
5 have one other, I guess so this particular one, just along
6 the lines of what Bruce just outlined. This is a little
7 bit of a light touch, relatively simple to what's coming.
8 We're going to have to think about test procedures. Maybe
9 in this one if we revise it in that direction, but
10 certainly in future device categories. Any thoughts about
11 -- I mean, you know, that'll be a future conversation, but
12 I just how big of a concern. I mean, as far as I know
13 that's pretty open landscape. So we'll need to develop
14 some test procedures. Any thoughts about that?

15 MS. ANDERSON: I can say that the IOUs look
16 forward to supporting that with the resources that we have
17 and working alongside all of the important stakeholders
18 that are willing. Because we agree that there's a lot of
19 effort that needs to be taken to be able to get a test
20 procedure that can be adopted by the manufacturers.

21 MR. HELFT: So if we could advance to the next
22 slide, please?

23 COMMISSIONER MCALLISTER: Thanks, Bruce. I'm
24 going to let you move on, so thanks a lot.

25 And I really appreciate the panelists. Your

1 thoughtful and yeah, just your engagement here, your
2 positive engagement and encouragement really. I think
3 we're all in agreement that this is important work. And
4 I'm really looking forward to working with all of you and
5 all the stakeholders and staff to move this forward. So
6 thank you.

7 MR. HELFT: And I want to thank Mary, Jennifer,
8 Pierre and Henry, for your involvement, as well as Daniel
9 Buch in speaking today. Thank you again.

10 We're going to move on just to keep a watch of
11 the time here. For public comments I'm going to turn this
12 over to our friend, Nich Struven.

13 MR. STRUVEN: Yeah, thank you. I just wanted to
14 check and see if the court reporter needs a break before we
15 begin our comments.

16 COURT REPORTER: I'm fine.

17 MR. STRUVEN: Okay, this is a public hearing
18 being recorded by a court reporter and all statements today
19 become part of the public record.

20 Just a few housekeeping rules. All attendees are
21 muted. If you have questions, you may type them into the
22 question and answer function like we've been doing. Be
23 sure to include your name and affiliation, and they'll be
24 forwarded to the moderator. If on the phone, raise your
25 hand to speak by pushing *9 and the host will give you the

1 ability to speak. And then you can push *6 to mute and
2 unmute. We can keep the comments to three minutes per
3 person and one person for organization. If we have a
4 little extra time, it could go a little longer. Please
5 state your name and affiliation when speaking.

6 So let's first go to the -- let's see if there's
7 any raised hands. And I think we do.

8 Okay, at the top of my list I see it says
9 "SkyCentrics, Tristan." I think you have the ability to
10 unmute.

11 MR. DE FRONDEVILLE: Yep, I'm on there.

12 MR. STRUVEN: Great. Go ahead, state your name
13 and affiliation.

14 MR. DE FRONDEVILLE: Hi, my name is Tristan de
15 Frondeville. I'm the CEO of SkyCentrics. SkyCentrics has
16 been tasked with making a testing procedure for UL and
17 Intertek. And UL and Intertek are -- for CTA-2045, UL and
18 Intertek are already testing water heater products to be
19 certified as CTA-2045, something called -B Level 2. Level
20 2 was created so that water heaters in particular, would
21 have standard commands that they could respond to, that a
22 utility could rely on for that water heater responding.

23 So just to show you how far along the standard
24 is, I think the comments from all the participants about
25 the need for a port, and how it would be incredibly

1 efficient as a way of future proofing, providing
2 communication path flexibility, I'd like to say one story.
3 An RFP for a water heater load controller came out of the
4 Midwest, and they wanted a cellular connectivity and a CTA
5 port. And I was surprised. I asked them, "Why do you want
6 cellular connectivity, I mean a CTA port if you already
7 have cellular connectivity? Add the CTA port's been
8 branded the Eco port, by the way. Ecological or
9 economical, it's good brand.

10 And they said, "Well, because someday in 10
11 years, we think 30-year life cycles for these, and in 10
12 years the 5G may be deprecated and not able to work
13 anymore. And we want to be able to just mail people a 9G
14 cellular module that they can plug into the port." Which
15 is a great story about the future proofing capability.

16 So the standard is much further along than one
17 thinks. It's inexpensive for manufacturers to put it in,
18 especially if they already have a CPU brain that is
19 scheduling things it's easy for them to put it in.

20 And finally, if you need Open ADR, you can add
21 it. And we've seen historically that the module makers can
22 be much more flexible about updating the firmware over the
23 Internet and creating new features than the OEMs. But the
24 OEMs responding to the three levels of shed and the two
25 levels of load up already provide a lot of flexibility and

1 value in terms of maintaining customer comfort. I'm
2 talking about the water heater side, etc. So super
3 flexible, super innovative, and thank you for your time.

4 MR. STRUVEN: All right. Next up, I see Geoff
5 and it looks like you have the ability to speak. Go ahead
6 and state your name and affiliation.

7 MR. WICKES: Great and thank you for the
8 opportunity. This is Geoff Wickes with NEEA Emerging Tech
9 area. And I've worked extensively in deep areas of water
10 heating and connected water heating, especially in
11 California as well. And I want to say that some of the
12 topics that were brought up today were very helpful. And
13 some of the work has already been done with the connected
14 water heater world that would help address and create a
15 pathway for this.

16 For example, in the Advanced Water Heating
17 Initiative, we created two paths: one for the manufacturer
18 and then one was CTA-2045.

19 I'd also point out that AHRI 1430 Standard is
20 currently in the final stages of being developed for
21 controlling water heaters, both electric resistance and
22 heat pumps. And that technology and that work could also
23 easily be borrowed from.

24 I would also say EPRI is developing, and they
25 were the originators of the CTA-2045 with the Consumer

1 Technology Association. They're also building a reference
2 design kit, so that the barrier to entry into
3 controllability for the manufacturer is really minimized.

4 I also wanted to remind a story that I often tell
5 that Commissioner McAllister, I think was about three or
6 four years ago, made in a public statement of we don't want
7 any dongle-itis going on. So just to remind you, Mr.
8 McAllister, that you requested no dongles and we heard you.
9 And we delivered CTA-2045.

10 Thank you for the opportunity.

11 COMMISSIONER MCALLISTER: I wanted to just thank
12 you for that comment. And I appreciate your taking it to
13 heart. You know, God forbid we end up with a drawer full
14 of water heater dongles.

15 But seriously, I want to just highlight the
16 Advanced Water Heating Initiative as a really great arena
17 for talking about many of these issues, but a lot of
18 informed people and with the backing of the Department of
19 Energy. And so that's really, I think, a powerful forum.
20 And I co-chair that and it's been a -- it continues to be,
21 and it is a really good forum. So we're definitely
22 listening to that as well.

23 MR. STRUVEN: I don't see any more hands raised
24 at this moment -- oh, wait.

25 MR. NORDMAN: So this is Bruce Nordman. Can you

1 hear me?

2 MR. STRUVEN: Go ahead, Bruce.

3 MR. NORDMAN: Yeah, I raised my hand. I was
4 unmuted.

5 Yeah, Bruce Nordman, Lawrence Berkeley National
6 Laboratory. I think it would be very -- so the document
7 that was released covers two fairly distinct topics. One
8 is the communication strategy, and architecture. And the
9 second is the particular implications for pool pumps, and
10 it would really be helpful for everybody to separate those
11 two into two documents and two processes. Because the
12 connectivity strategy will be mostly universal across all
13 in building devices. And there's really should be nothing
14 specific about pool pumps, except things like the
15 observations that they often can be far from like a wi-fi
16 router.

17 But in general, most of it is generic to all
18 devices. And there really should be a broad base
19 discussion and consensus on that amongst people interested
20 in all devices. And then a separate process for
21 understanding the implications for pool pumps, specifically
22 which this document, I think, does a good job of.

23 And some aspects that should be in that generic
24 communications architecture document is some basic
25 principles that can be adopted. One example could be that

1 the device should be fully capable of local operation
2 without Internet connectivity, because sometimes you don't
3 have it. And sometimes you have it, but then it fails.
4 And so it's essential that -- and also, even if you have
5 Internet connectivity, then you can be hostage to a
6 particular cloud vendor. And you really want to make sure
7 that customers have the option to be fully local and
8 resilient for their own operation.

9 And it also, it's essential to identify more than
10 one pathway, because I think it's clearly reasonable for
11 some pool pump controllers to have the communication built
12 in, like with IP connectivity, but I think the CTA-2045
13 path has an important role to also play.

14 And then there's the question of where is the
15 intelligence to translate price to functional control? And
16 that might reasonably be either in the device itself, or in
17 a CTA-2045 module. I think the standard should support
18 both, but they have to clearly articulate the implications
19 of which path a particular product takes.

20 And then finally, it's critically important to
21 understand the time dimension of this, because Open ADR is
22 referenced. But Open ADR, there's a process to update it,
23 to modernize it, to make it much more suitable for this
24 type of application. And it'd be great if these standards
25 would go into effect in the timeframe that is consistent

1 with that updating process, so that it can reference the
2 new version of the standard rather than the old one. And
3 the new one will be much simpler, and much less onerous for
4 manufacturers to include. Thank you.

5 MR. STRUVEN: It looks like we have another
6 raised hand. Angela, go ahead and state your name and
7 affiliation.

8 MS. CHUANG: Hi, I'm Angela Chuang from EPRI.
9 And I'd like to mention, although there's lots of good
10 discussion already on connectivity, I'd like to talk about
11 the potential impact of the default schedules on system
12 operations. And better understand to what extent that has
13 been investigated.

14 We're coming to a close on a multi-year project
15 called Flexible Pool Pumps that involved in forming
16 standards. And this is the ENERGY STAR connected pool pump
17 standards. As well as informing the standard through our
18 laboratory and building investigation.

19 And if you look at the evolution of the ENERGY
20 STAR connected spec for pool pumps, originally they did
21 have a hard coded default schedule, but for the peak load
22 reduction type of response. And now there isn't a hard code
23 after a process of commentary from the industry across the
24 nation, including utilities with pool pump devices that are
25 involved in demand response, to be able to learn from that

1 perspective, too.

2 And if the Commission is short on time, I'd like
3 to offer to help through my project, gather that
4 perspective if the Commission feels that this question has
5 room to be investigated. The potential impact of default
6 schedules on system operations surrounding my Q&A comment.

7 During peak flow days when solar power
8 unexpectedly isn't available, the default schedules could
9 exasperate a supply shortage condition, and contribute to a
10 supply shortage issue. So getting the operator
11 perspective, it may be very prudent to the extent that
12 hasn't been gathered as much as the Commission would like.

13 MR. STRUVEN: Okay, thank you.

14 I see another hand raised. Philip, go ahead and
15 state your name and affiliation.

16 MR. ESCOBEDO: Hi, I'm Philip Escobedo with
17 Fluidra, a manufacturer of pool products. I had a specific
18 question on Table 5.1 of the draft reports that shows in-
19 scope devices and out-of-scope devices.

20 On the out-of-scope devices list, it showed
21 integral pool pump controls on pool filter pumps and
22 integral pool filter pool pump controls on replacement pool
23 pump motors. And these are classically onboard controls
24 for pool pumps with a UI, you can set your schedules and
25 times and etc. So will those be completely out of the

1 scope of this regulation as far as the need for default
2 scheduling on those particular devices?

3 MR. STRUVEN: I have to look at that a little bit
4 more. It's probably something that we can discuss later to
5 see if there's some changes need to be made. It kind of
6 goes back to the definition of is, you know the -- where
7 the control is. So that's something we'll have to look at.
8 I don't have an answer for it immediately right now.

9 MR. ESCOBEDO: Okay.

10 MR. STRUVEN: I don't see any other hands up? Is
11 there somebody else that has a question or a comment that
12 doesn't have their hand raised they would like to ask.

13 MR. RICHARDSON: I actually raised my hand. This
14 is Henry Richardson from WattTime, one of the previous
15 panelists. I just want to reiterate my enthusiasm for the
16 paradigm shift away from point in time and limited demand
17 response, load management to continuous load management,
18 that is a major innovation that I don't think is present in
19 many other proceedings currently. Or that shift in
20 mindset.

21 MR. STRUVEN: I don't see any other comments
22 right now, but we can pause for a few more minutes. And if
23 there's none, then we can proceed on to our concluding
24 remarks if there's no more comments. I see Tristan with his
25 hand raised. Go ahead, Tristan.

1 MR. DE FRONDVILLE: Yes, I know I've commented
2 already, but just one brief comment on Commissioner
3 McAllister's comment on being prescriptive to the OEMs
4 versus giving the OEMs the choice of how to implement.

5 So the water heater industry is about five years
6 ahead of the pool pump industry and went through exactly
7 those issues. And Washington and Oregon two years ago put
8 -- or Washington first put a flag in the ground of
9 requiring the CTA port in every new water heater sold in
10 Washington, and Oregon joined it. And it only took one
11 state and now every water heater OEM is going to have the
12 port in 2023. And they're going to ship it to every state
13 in the union, which is radically transforming the water
14 heater industry and the options for future management and
15 everything that we've talked about.

16 So just in terms of encouraging this. And by the
17 way, there was 10 years of the OEMs just sitting around the
18 watering hole saying you go first, no you go first. And
19 then the one state broke it open. I just want to encourage
20 that knowledge. Thanks.

21 MR. STRUVEN: Are there any other comments? I
22 don't see any raised hands right now. Just one last call
23 for any questions, comments? You can go again if you have
24 a second one, just raise your hand. Go ahead, Geoff.

25 MR. WICKES: Thank you, Geoff Wickes, NEEA

1 Emerging Technology. We would be very happy -- even though
2 we only have 300,000 pools in the Pacific Northwest, we'd
3 be very happy to help with this. And I realize
4 California's second in the nation as far as pool count
5 numbers, but happy to help where we can in moving forward a
6 standard that all manufacturers and then eventually all
7 states could adopt.

8 MR. STRUVEN: We appreciate the kind offer.
9 Thank you.

10 Any other last hand raises? (No audible
11 response.) Okay, well seeing no other hand raises, I just
12 want to remind you that you do have the opportunity to make
13 a comment in the dockets. Or reach out to us to our
14 contact information on the Flexible Demand Appliance
15 Standards webpage at the CEC.

16 Okay, the time is (indiscernible). Geoff, did
17 you have some other comment? I just heard --

18 All right, I'll continue on. The time is 11:23.
19 We're approaching the close of the workshop. And so now
20 what I'd like to do is introduce the Flexible Demand
21 Standards Team Electrical Engineer to provide some
22 concluding remarks and next steps. Welcome, Ho.

23 MR. HWANG: Hello, my name is Ho Hwang, and I am
24 an Electrical Engineer on the FDAS Team. Today staff
25 introduced the draft staff report and the proposed

1 regulatory language for Flexible Demand Appliance
2 Standards. The Flexible Demand Appliance Standards plays
3 an important role in achieving California's ambitious goals
4 to decarbonize California's energy, transportation and
5 building sectors. Consumer savings on electricity bills,
6 electricity, grid reliability and improved air quality.

7 The staff values your input highly. Today was
8 the draft staff report workshop to request comments from
9 the public. Staff will review and respond to comments
10 received today and through August 31st. Stakeholders are
11 encouraged to sign up for the Flexible Demand for
12 Appliances list server to receive updates and notices on
13 this topic. Note that this is a multipurpose list that
14 serves the flexible demand appliances and load management
15 and demand response activities at the Commission.

16 The table shows approximate dates from key
17 milestones for the pre-rulemaking and rulemaking schedules.
18 Staff plans to recommend to the CEC for adoption, the first
19 Flexible Demand Appliance Standards in the first quarter of
20 2023 with the effective date for compliance one year after
21 adoption.

22 Thank you for your comments today. Please submit
23 your comments in one of these three ways before 5:00 p.m.
24 August 31st, 2022. We welcome your comments. Thank you.


25 (The workshop was adjourned at 11:26 a.m.)

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 3rd day of August, 2022.




ELISE HICKS, IAPRT CERT**2176

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 3rd day of August, 2022.



Karen Cutler
Certified Transcriber
AAERT No. CET**D-1424