

**DOCKETED**

<b>Docket Number:</b>	22-BUSMTG-01
<b>Project Title:</b>	Business Meeting Agendas, Transcripts, Minutes, and Public Comments
<b>TN #:</b>	246202
<b>Document Title:</b>	Transcript of 9-14-2022 Business Meeting
<b>Description:</b>	N/A
<b>Filer:</b>	Liza Lopez
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	9/26/2022 9:46:07 AM
<b>Docketed Date:</b>	9/26/2022

BUSINESS MEETING

BEFORE THE

CALIFORNIA ENERGY COMMISSION

In the Matter of: )  
 ) 22-BUSMTG-01  
*Business Meeting* )  
 \_\_\_\_\_ )

WEDNESDAY, SEPTEMBER 14, 2022

10:00 A.M. - 3:30 P.M.

REMOTE ACCESS ONLY

*Public comment is accepted solely through the Zoom platform.*

*The California Energy Commission's (CEC) September 14, 2022 Business Meeting will be held remotely only, consistent with Senate Bill 189 (Committee on Budget and Fiscal Review, Statutes of 2022). The public can participate in the business meeting consistent with the direction provided below.*

*Please note that the CEC aims to begin the business meeting promptly at the start time and the end time is an estimate based on the agenda proposed. The business meeting may end sooner or later than the time indicated depending on various factors.*

*Pursuant to California Code of Regulations Title 20 section 1104(e), any person may make oral comment on any agenda item. To ensure the orderly conduct of business, such comments will be limited to three minutes or less per person. Any person wishing to comment on information items or reports (non-voting items) shall speak during the general public comment portion of the meeting and have three minutes or less to address all remaining comments.*

Reported by:  
Peter Petty

APPEARANCES

Commissioners

David Hochschild, Chair  
Siva Gunda, Vice Chair  
Kourtney Vaccaro

Staff Present:

Drew Bohan, Executive Director  
Linda Barrera, Chief Counsel  
Dorothy Murimi, Public Advisor's Office  
Geoff Lesh, Engineering Branch Manager  
Kirk Oliver, Chief Counsel's Office

Also Present

Agenda Item

Jonathan Bobadilla	3
Mike Gravely	4
Elizabeth Huber	5
Kirk Oliver	5
Esther Odufuwa	6
Kristi Villareal	8
Katelynn Dinius	9

Public Comment

Dr. Imre Gyuk, DOE Storage	5
Gwenneth O'Hara, Orange Grove Energy Center	5
Olga Tinker Gomez, Costanoan Rumsen Carmel Tribe	5, 9
Peter Dailey, International Electric Power	5
Diana Kotler, Executive Director, ATN	6
Mahlon Aldridge, Ecology Action	8
James Russell, CLEAResult	8
Joshua Rasin, SMUD	8
Jin Noh, CESA	4
Stephanie Saavedra	4
Pascha Nierenhausen, Quechan Tribe	12
Will Mao, Eos Enterprises	14

I N D E X

	Page
Proceedings	6
Items	
1. Consent Calendar	8
a. PlugShare, LLC	
b. Alliance to Save Energy.	
c. Aspen Environmental Group	
d. Order Instituting Rulemaking (OIR) Proceeding (Docket Number 22-AAER-04).	
e. Local Ordinance for City of Los Angeles.	
f. DOE-Lawrence Berkeley National Laboratory.	
g. The Regents of the University of California, on behalf of the Los Angeles Campus.	
h. The Regents of the University of California, on behalf of the Irvine campus.	
<del>i. GridLab, Inc. (GridLab).</del>	
<del>2. Information Item on Getting California on Track     for 2030 and 2045 Climate Targets.</del>	<del>--</del>
3. Information Item on the California ZEV-Related Manufacturing Web Map.	10
4. Information Item on Non-Lithium (LI) Storage Technology Presentation.	18

I N D E X (Cont.)

	Page
5. Orange Grove Energy Center (OGEC).	33
6. Anaheim Transportation Network (ATN).	59
<del>7. San Joaquin Valley Air Pollution Control District.</del>	<del>--</del>
8. Reliable, Equitable, and Accessible Charging for Multi-Family House (REACH) (GFO-21-603).	66
a. Ecology Action of Santa Cruz.	
b. CLEAResult Consulting Inc.	
c. Sacramento Municipal Utility District (SMUD).	
9. Vehicle-to-Building Technologies for Resilient Backup Power (GFO-21-303).	74
a. Center for Transportation and the Environment, Inc.	
b. Andromeda Power, LLC.	
10. Possible approval June 13, 2022, and August 10, 2022 Business Meeting Minutes	81
11. Lead Commissioner or Presiding Member Reports	82
12. Executive Director's Report.	89
13. Public Advisor's Report	--

I N D E X (Cont.)

	Page
14. Public Comment	38, 63, 69, 91
15. Chief Counsel's Report	--
a. Pursuant to Government Code Section 11126(e)(1), the CEC may adjourn to closed session with its legal counsel to discuss any of the following matters to which the CEC is a party:	
i. <i>Interlink Products International, Inc. v.            Xavier Becerra, Drew Bohan, Melissa Rae King            (United States District Court for the Eastern            District of California, Case No. 2:20-cv-02283)</i>	
b. Pursuant to Government Code section 11126(e)(2), the CEC may also adjourn to closed session with its legal counsel to discuss facts and circumstances in the following matter that may warrant the initiation of litigation:	
<i>CEC grant agreement with Colony Energy Partners - Tulare,            LLC (ARV-14-029).</i>	
Adjournment	99
Reporter's Certificate	100
Transcriber's Certificate	101

1 P R O C E E D I N G S

2 SEPTEMBER 14, 2022

10:03 a.m.

3 (Start of Introductory Video.)

4 MS. MURIMI: Welcome to the California Energy  
5 Commission Business Meeting. Zoom's closed-captioning  
6 feature has been enabled to make Energy Commission business  
7 meetings more accessible. Attendees can use this feature  
8 by clicking on the "Live Transcript" icon and then  
9 selecting either "Show Subtitle" or "View Full Transcript."  
10 Closed captioning can be stopped by closing out of the Live  
11 Transcript or selecting "Hide Subtitle." Those  
12 participating solely by phone do not have the option for  
13 closed captioning.

14 The Energy Commission will continue to post a  
15 recording of this business meeting on the Business Meeting  
16 webpage in addition to posting a transcript of this  
17 business meeting rendered by a professional court reporter  
18 in the docket system on the business meeting webpage.

19 To increase access to the California Energy  
20 Commission's proceeding, this meeting is being held in-  
21 person and is also available for remote participation.

22 The public can participate in the business  
23 meeting consistent with the instructions for remote  
24 participation found in the notice for this meeting, and as  
25 set forth on the agenda posted to the Energy Commission's

1 website. Pursuant to California Code of Regulations Title  
2 20, section 1104(e) any person may make oral comments on  
3 any agenda item.

4           Once the public comment period begins, to  
5 indicate you would like to give a comment in-person please  
6 use the QR codes shown in the room and fill out the form.

7           For remote participants, please raise your hand  
8 by clicking on the "Raise Hand" icon at the bottom of your  
9 screen. If you are joining by phone, press \*9 to raise your  
10 hand and \*6 to unmute.

11           To ensure the orderly and fair conduct of  
12 business, public comments will be limited to three minutes  
13 or less per person for each agenda item voted on today.

14           Any person wishing to comment on information  
15 items or reports which are non-voting items shall reserve  
16 their comment for the general public comment portion of the  
17 meeting and shall have a total of three minutes or less to  
18 state all remaining comments. After the Public Advisor  
19 calls on you to speak, spell your name and state your  
20 affiliation, if any.

21           Welcome to the California Energy Commission's  
22 business meeting. The meeting will now begin.

23           (End of Introductory Video.)

24           CHAIR HOCHSCHILD: Well good morning friends, and  
25 welcome. Today is Wednesday, September 14<sup>th</sup> and I call this



1 meeting to order. Joining me virtually here on the dais  
2 are Vice Chair Gunda and Commissioner Vaccaro.  
3 Commissioner Monahan is unfortunately under the weather  
4 today and Commissioner McAllister is traveling for  
5 business. So let's begin with the Pledge of Allegiance.

6 (Whereupon the Pledge of Allegiance was recited.)

7 CHAIR HOCHSCHILD: I am happy to announce today that  
8 the Commission will be seeking to approve over \$24 million  
9 in grants and investments today, contributing to our  
10 state's economic recovery. And these include 5.5 million  
11 for the UC system on behalf of UCLA, 5 million for Anaheim  
12 Transportation Network, 7 million for reliable, equitable  
13 and accessible charging for multifamily, and vehicle-to-  
14 building technologies for resilient backup power.

15 So before we turn to Consent, I'd like to clarify  
16 a few items for Item 1. GridLab, that one item has been  
17 removed from the agenda, I think we'll take that up next  
18 month. As has Item 2, the information item on getting  
19 California on track for 2030 and 2045 climate targets. And  
20 Item 7 regarding the San Joaquin Valley Air Pollution  
21 Control District.

22 So we'll turn now to the Consent Calendar, Items  
23 1a through 1h. Madam Public Advisor, do we have any public  
24 comment on the Consent Calendar?

25 MS. MURIMI: Thank you, Chair.

1           Once again, just instructions for folks. If you  
2 would like to make a public comment use the raised-hand  
3 feature on Zoom at the bottom of your screen. Giving that  
4 one moment.

5           Chair, seeing no public comment, back to you.

6           CHAIR HOCHSCHILD: Okay. I would welcome a  
7 motion on Items 1a through 1h. Commissioner Vaccaro, would  
8 you be willing to move those items?

9           COMMISSIONER VACCARO: Yes, I move approval of  
10 Items a. through h. of Item 1 on the Consent Calendar.

11          CHAIR HOCHSCHILD: Thank you.

12          Vice Chair, would you be willing to second those?

13          VICE CHAIR GUNDA: Yes, I second them.

14          CHAIR HOCHSCHILD: All in favor say aye.

15          Commissioner Vaccaro?

16          COMMISSIONER VACCARO: Aye.

17          CHAIR HOCHSCHILD: Vice Chair Gunda?

18          VICE CHAIR GUNDA: Aye.

19          CHAIR HOCHSCHILD: And I vote aye as well. Those  
20 items pass 3-0.

21          We will now move to Item 2, the Information Item  
22 on Getting California on Track to 20 -- oh sorry, is this  
23 one still on?

24          MS. MURIMI: That one was removed from the  
25 calendar.

1 CHAIR HOCHSCHILD: Okay, sorry.

2 So we'll turn to Item 3, information item on the  
3 ZEV- Related Manufacturing Map. Welcome to Jonathan  
4 Bobadilla to present.

5 MR. BOBADILLA: Thank you. Next slide. Hello,  
6 my name is Jonathan Bobadilla, staff in the CEC's Fuels and  
7 Transportation Division. Today I will be providing a brief  
8 demonstration of our California Zero-Emission Vehicle-  
9 Related Manufacturing Interactive Web Map. This is a web  
10 application hosted on the CEC website with information on  
11 companies with ZEV and ZEV-related manufacturing operations  
12 in California. A link is provided on the presentation  
13 slides for convenience.

14 Before moving on to showing the app in detail I  
15 wanted to briefly note what we mean by "manufacturing," and  
16 "California ZEV-Related Manufacturers."

17 For the purposes of this tool, manufacturing  
18 refers to the manufacture, production, and/or assembly of  
19 complete Zero-Emission Vehicles and ZEVs, ZEV components  
20 and batteries and/or ZEV infrastructure hardware for  
21 commercial sale.

22 A California ZEV-Related Manufacturer is a  
23 company with at least one manufacturing facility physically  
24 located in California that manufactures said hardware for  
25 commercial sale.

1           We gather information from a variety of sources  
2 online such as company websites, LinkedIn, Crunchbase,  
3 Pitchbook, Yahoo Finance, and partner entities that share  
4 their own data with us.

5           If you have any questions on the methodology or  
6 suggestions on how to make our web products better I'm  
7 happy to take questions at the end of the presentation if  
8 we have time, or offline through follow-up conversations.

9           With that said, can the meeting host please start  
10 the video for Item Number 3?

11           Visitors are greeted with the informational  
12 splash page, which can take you to a CEC web page on  
13 manufacturing and the data vintage shown, which are  
14 currently from February 2022. The emails shown here are to  
15 reach out to staff for questions regarding the information  
16 shown.

17           In a little bit, yeah, clicking outside the  
18 splash page you'll see that the header contains our current  
19 title, which is "California Zero-Emission Vehicle-Related  
20 Manufacturing," and below the title is a link to the table  
21 of the data shown here in an ADA-accessible PDF.

22           To the right is a link to the CEC's ZEV  
23 Statistics web page, which shows a wide variety of data and  
24 tools related to ZEVs and ZEV infrastructure.

25           The app is sectioned into two parts. On the

1 right is an interactive GIS map of California with blue  
2 dots spread around. You can zoom in on each dot with your  
3 mouse scroll wheel or use the +/- widget on the bottom  
4 right. When you zoom in, you'll notice each dot represents  
5 a California ZEV-Related Manufacturer. You can also change  
6 the base map by clicking on the square widget on the top  
7 left, and those features will be presented in just a  
8 moment. Do a pause, there.

9           And as shown here when you zoom in the dots on  
10 the screen will become visible and each of those dots are  
11 you can interact with, so clicking on them will give you  
12 more data on those companies that are shown.

13           As an example I'll zoom in on Zero Motorcycles,  
14 Incorporated, in Scotts Valley. Clicking on their dot will  
15 make a text bubble appear which lists company attributes  
16 such their company name, product category they manufacture,  
17 a hyperlink to their website, a brief description of what  
18 the company does, city, state, and zip, and the year that  
19 they were incorporated. You can do this for all 43 dots on  
20 the map.

21           Moving to the left section are multiple widgets  
22 that interact with the map. At the top is a search bar  
23 where you can look up manufacturers by name. So let's say,  
24 for example, you want to see if BYD is on the list. You  
25 can start typing B-Y-D and you'll notice that their name

12

1 appears, which you can click on and it will make the dot  
2 corresponding to BYD be the only one that appears on the  
3 map.

4           The X on the right of the search bar will erase  
5 the name and will make all the dots come back.

6           You can cycle through the list of 43  
7 manufacturers in alphabetical order by company, using the  
8 table arrows. If you find a manufacturing company you're  
9 interested in you can click on the 4-dot icon to zoom in.  
10 The attributes table is the same as what appears when you  
11 click on the dots.

12           The final widget are these four toggles that let  
13 you filter out by Manufactured Product. So let's say  
14 you're only interested in seeing the companies that  
15 manufacture ZEVs. Click on the ZEV icon and the 19 ZEV  
16 manufacturers will appear on the map and table widget. If  
17 you want to see all the ZEV manufacturers AND ZEV battery  
18 manufacturers, click on the ZEV Batteries widget and you'll  
19 get ZEVs plus the batteries, which are 23. If you want  
20 just the batteries, unselect the ZEV and keep Batteries  
21 toggled, and you'll see only the 7 companies that  
22 manufacture batteries.

23           To date, we have identified 43 ZEV and ZEV-  
24 related manufactures in California, and that number is  
25 expected to grow on the next update towards the end of

1 fall.

2 That concludes my walkthrough and can the host  
3 please go back to this slide?

4 CHAIR HOCHSCHILD: Thank you so much, Jonathan.  
5 That was terrific.

6 And I just want to highlight this is precisely  
7 the kind of thing I want to see us do more of as an agency,  
8 taking all the data that's out there and then rendering it  
9 in a way that's really -- this feels very public-friendly  
10 to me, very accessible, very understandable and useful, not  
11 just for stakeholders but also for the media that's trying  
12 to cover these issues. And particularly on this one where  
13 out of the \$10 and a half billion in our extraordinary  
14 budget this year, roughly, I think 3.7 billion is going  
15 into ZEV-related activity and charging infrastructure. So  
16 really, really timely, really helpful, amazing work.

17 I just want to thank you and the whole team for  
18 all your work. And we met earlier and you had some good  
19 dialogue. And I think you've got feedback from a number of  
20 folks on it and just really want to say hats off for this.

21 But let me open it up to questions from  
22 Commissioner Vaccaro or the Vice Chair on this. So any  
23 comments?

24 COMMISSIONER VACCARO: Yeah, thank you. Thank  
25 you, Chair Hochschild. So first of all I agree. I mean, I

14

1 echo everything that you said, solid presentation, and just  
2 what a wonderful, accessible tool. I think I have to two  
3 observations. I think I would love to see something like  
4 this as we do our offshore wind development. And as we  
5 really look at the supply chain development and what this  
6 looks like for California, I see a tool like this being  
7 just incredibly valuable in that space.

8 In addition, I would just say that I can't wait  
9 to see more blue dots in the lower region of the state,  
10 sort of in the Salton Sea region, Imperial County,  
11 Riverside County, And a lot of effort going on to realize  
12 the Lithium Valley vision. And just seeing some more of  
13 those blue dots in that region is something I'm looking  
14 forward to. So thank you so much.

15 MR. BOBADILLA: Thank you.

16 CHAIR HOCHSCHILD: Well said.

17 Well, so Vice Chair Gunda any --

18 VICE CHAIR GUNDA: Yeah, I just want to say  
19 congratulations, Jonathan. That's really helpful. As I  
20 think the Chair mentioned this mostly, just kind of briefly  
21 at one point, thinking of what I see the CEC's  
22 (indiscernible) data gathering, and access, and being the  
23 state's data repository is a foundational task of our  
24 agency. And this is really in line with our modernization  
25 efforts, and all the way from the infrastructure to the



1 data gathering at a more discreet level. And then kind of  
2 being able to provide that in visualizations, dashboards  
3 and downloadable forms. This is wonderful. And I'm so  
4 glad to see so many dashboards coming out of the agency.

5 And as Commissioner Vaccaro just suggested, I  
6 think there is probably an opportunity to begin to bucket  
7 these dashboards by the sector or kind of work we do. So  
8 it becomes easy landing pages. I know that there is work  
9 on that as well. But you know, just kudos to you and the  
10 team. Thank you.

11 MR. BOBADILLA: Thank you.

12 CHAIR HOCHSCHILD: The one question I'd have  
13 Jonathan, and maybe this is as much for the media team as  
14 it is for you, but how are we getting the word out there  
15 about this? What is the outreach strategy to just make the  
16 stakeholders and the public aware of this tool now exists?

17 MR. BOBADILLA: Yeah, and media has been a great  
18 partner. They've sent out blog -- we've been in blog  
19 posts, and Twitter and LinkedIn posts, sharing the tool.  
20 Whenever we do have any presentations related to ZEVs we  
21 show that this map is a tool that's available. When folks  
22 visit the website itself, we can send it to -- there's an  
23 email there that people can contact us. So let's say, for  
24 example, a manufacturer wants to get added on to the list  
25 they can reach out to us directly and tell us about

1 themselves and what they're manufacturing in California.  
2 And we'll do our best to integrate those into the next  
3 update, and so far that's been the tools that we have at  
4 our disposal for marketing this.

5 CHAIR HOCHSCHILD: And then we're updating it  
6 sort of in real time? Or are there -- what's, as we learn  
7 of new companies, what's the interval for updating that?

8 MR. BOBADILLA: Yeah, we're aiming for a twice-a-  
9 year update.

10 CHAIR HOCHSCHILD: Okay.

11 MR. BOBADILLA: So our next one is going to be  
12 towards the end of fall. And we keep a watch list of  
13 companies. So we add the companies throughout the year  
14 into the watch list. And then at the time of update we'll  
15 go through that watch list and see which ones we're going  
16 to add to the list versus which ones maybe need more time  
17 to develop. And so that's our intake process.

18 CHAIR HOCHSCHILD: Okay. Well, again, phenomenal  
19 work. My request to you would be if you could email this  
20 to all Commissioners and Advisors, and with a short couple-  
21 sentence summary of what the tool does so that people can  
22 just share with their contacts by email. It's just a  
23 terrific, terrific body of work and we want to get it out  
24 there. So that'd be terrific.

25 Thank you again for all the work.

1 MR. BOBADILLA: Yeah, thank you. Will do.

2 CHAIR HOCHSCHILD: Great job. All right. Thank  
3 you.

4 We'll turn now to Item 4, Information On Non-  
5 Lithium Storage Technology and welcome Mike Gravely to  
6 present.

7 MR. GRAVELY: Good morning, Chair Hochschild,  
8 Vice Chair Gunda and Commissioner Vaccaro. I'm Mike  
9 Gravely, Energy Storage Technical Team Lead for the  
10 Research and Development Division. Today I would like to  
11 provide a short overview of the energy storage with a focus  
12 on non-lithium-ion energy storage technologies. I will  
13 review the need for energy storage in California including  
14 future progressions.

15 MS. MURIMI: Apologies. Apologies, Mike, if you  
16 could turn on your video?

17 MR. GRAVELY: Oh, okay. Thank you. I'm sorry,  
18 yeah. Thank you again. Okay, so thank you.

19 I will conclude by sharing updates of the Energy  
20 Commission plans to implement the long-duration energy  
21 storage program established in the state budget, which will  
22 support large-scale demonstrations of promising long  
23 duration energy storage technologies and accelerate their  
24 market adoption. Next chart please or we're okay with  
25 that?

1           Energy storage -- oh let's see, back up one chart  
2 please to Number 2. Energy storage of all types will play  
3 a big role in California's clean energy future. Currently,  
4 California has a little over 3.3 gigawatts of energy  
5 storage installed and operating during the extended heat  
6 storm of last week where systems performed superbly. It  
7 helped California reliably serve its electricity demands.  
8 It's important to note that approximately 95 percent of  
9 that energy storage is one technology, lithium-ion  
10 batteries. And lithium-ion batteries, where they work  
11 well for short duration and are reliable, they're not very  
12 well-suited for long duration applications.

13           Early this year the PUC completed and published  
14 the state's Integrated Resource Plan, which calls for the  
15 approval of up to 15 gigawatts of energy storage by 2032,  
16 with 1 gigawatt of that total expected to be long duration  
17 energy storage. The Joint Agency SB 100 Report, along with  
18 other reports from industry and academia, projects the need  
19 for an estimated 40 to 50 gigawatts of energy storage by  
20 2045 to meet the state's goal of a carbon-free electricity  
21 system.

22           With this projected growth in energy storage  
23 deployment, California needs to invest in multiple energy  
24 storage solutions and not just one technology. While  
25 lithium-ion batteries are very effective, as was

1 demonstrated last week, there are other technologies that  
2 are better suited for longer rates and applications.  
3 Meeting California's goals will require a diverse portfolio  
4 of storage technologies, including ones that can discharge  
5 over 8 hours to 100 hours or more to meet our future  
6 requirements. Next chart.

7           The Energy Commission EPIC program has over a  
8 decade of experience managing the full spectrum of energy  
9 storage research activities, funded projects spanned from  
10 early research with small grants to more advanced  
11 demonstrations in the laboratory, and first-of-a-kind field  
12 demonstrations just extensively helping companies scale up  
13 their system as they compete in the marketplace.

14           As these photos illustrate, the Energy Commission  
15 has assessed a wide range of technologies from small  
16 residential commercial-size battery systems to larger flow  
17 batteries, thermal energy storage, and flywheel systems,  
18 and even larger grid-scale containerized systems and  
19 underground storage systems. Several of these technologies  
20 have progressed rapidly and are ready for large-scale  
21 utility grade applications. Next chart.

22           2020 was a pivotal year for the energy storage at  
23 the Energy Commission, where there was a strong focus on  
24 expanding our investment in long duration energy storage.  
25 During that year, the Energy Commission awarded 25 new

1 energy storage grants across the spectrum of applications  
2 and technologies. Eight of those grants were for energy  
3 storage applications with durations of ten hours or more,  
4 and sizes up to eight megawatt hours.

5 Three of those -- additionally, three of those  
6 grants were for technologies looking to commercialize 100  
7 hours of energy storage with the capability of future  
8 projection commercial price on a price-per-kilowatt that  
9 would be as low as one-tenth of the current per-kilowatt-  
10 price of lithium-ion batteries. Next chart.

11 When we look at the current technologies active  
12 in the global marketplace, we see that it is rich with new  
13 and emerging technologies that show great promise in  
14 providing high performance solutions at a lower cost than  
15 the current lithium-ion systems. Companies developing these  
16 technologies recognize that lithium-ion is the baseline  
17 everyone must design to, and to be successful they must be  
18 price-competitive with lithium-ion.

19 As we look at this collage of pictures we see  
20 there is a wide range of technology solutions. Some have  
21 already been demonstrated through the EPIC program such as  
22 zinc-hybrid, iron air, zinc air, flow batteries, flywheels,  
23 and thermal storage.

24 Additionally, there are very creative systems  
25 being developed throughout the world and being demonstrated

1 that have not yet applied for or secured EPIC grants. Some  
2 of these include gravity feed systems, additional flow  
3 battery designs, and thermal storage. Many of these  
4 technologies are working in the medium to high kilowatt-  
5 sized systems, and several are now advanced into the multi-  
6 megawatt size. Overall, these technologies present an  
7 opportunity to gain lower cost, better performance, longer  
8 useful life, and improved safety. Next chart.

9           These new emerging technologies provide  
10 opportunity to capture new values that are challenging  
11 today's lithium-ion technology. The supply chain everyone  
12 is aware of today, and with the international unrest, we  
13 can find that lithium-ion systems could have as much as a  
14 multiyear delay to be able to build the system once the  
15 order is improved.

16           Safety is an area where these technologies are  
17 different chemistries, different designs and lower risk to  
18 thermal runaway and other challenges that we see today.

19           Cost and performance, these technologies offer  
20 improvement in cost per kilowatt, improvement in energy  
21 density, charge time, and lifecycle costs. Overall, the  
22 field just demonstrates it. By demonstrating and  
23 validating these technologies at a larger scale California  
24 could help build the market confidence and support  
25 innovative companies need to apply for investments and

1 secure long-term power purchase agreements, which is  
2 critical to the growth into the California marketplace.  
3 Next chart.

4           In this year, in Fiscal Year 2023 State Budget,  
5 the Energy Commission received \$140 million to advance non-  
6 lithium-ion technology to a higher commercial state. Using  
7 lessons learned from a decade of EPIC research the Energy  
8 Commission staff developed and proposes a series of three  
9 new grants to allow some of these EPIC technologies to  
10 advance to the next level of field performance.

11           The first one is a 60-megawatt hour combination  
12 of flow battery and zinc hybrid technologies into an  
13 integrated system that provides the best of both  
14 technologies. This system will be installed on the Viejas  
15 Native American tribe's microgrid to support the critical  
16 resources of that under-resourced community.

17           The second one is an 80-megawatt hour zinc hybrid  
18 system to be installed on the Camp Pendleton Marine Corps  
19 Base and provide critical resiliency and reliability  
20 services to support the national defense mission. And when  
21 these services are not needed the energy storage will  
22 provide services to support the California grid.

23           Federal grant targets an ion-air technology  
24 provider that is rated at 5 megawatts and 100 hours and is  
25 to be installed in the PG&E territory. This system will be



1 in front of the meter installation and will demonstrate new  
2 opportunities to apply non-lithium-ion batteries to support  
3 critical good services and validate the value of 100 hours  
4 of energy storage duration. Next chart.

5 In '23-'24 budgets the program will receive an  
6 additional 240 million to continue the advancement of non-  
7 lithium-ion energy storage technologies. Energy Commission  
8 staff will develop and release in the summer of '23 a large  
9 competitive solicitation that will support the award of  
10 five to seven grants in the summer of '20 -- throughout  
11 California in the '23-'24 timeframe. This solicitation  
12 will be open to all non-lithium-ion technologies that meet  
13 the requirements that are clearly defined in this  
14 solicitation.

15 Funding is also planned to attract federal funds  
16 through the DOE and DOD opportunities to use cost share and  
17 bring in additional funds to California.

18 And after those first two opportunities if we  
19 still have any remaining funds there will be a second  
20 solicitation in 2024 that will use up the remaining funds,  
21 as we still have time to uncover them. Next chart.

22 If we look at the next steps we will be working  
23 to bring the initial three grants to our future business  
24 meeting in the next one to two months. And we'll start  
25 developing the large solicitation that would allow us to

1 attract the most cost-competitive solutions that we can  
2 compete on a level playing field with lithium-ion systems.

3 Overall, the effort is expected to clearly  
4 demonstrate that non-lithium-ion technologies can compete  
5 with lithium-ion technologies in performance, useful life,  
6 safety, and costs.

7 There are several individuals and organizations  
8 who would like to make comments on these. One of those  
9 individuals that Dr. Imre Gyuk, Director of Energy Storage  
10 Research at the Office of Electricity, in the DOE Office of  
11 Electricity. And the second one is Peter Dailey from the  
12 International Electric Power, an international energy  
13 storage financing firm, who just wants to comment on the  
14 commercial competitiveness of non-lithium-ion battery  
15 technologies.

16 And with that I'm happy to take any questions  
17 from the dais.

18 CHAIR HOCHSCHILD: Well first of all, Mike, thank  
19 you so much. I want to highlight that you've been working  
20 to prepare for this moment for several years. We did a  
21 workshop in the spring to get stakeholder impact and input  
22 even before the money got approved. And I think that put  
23 us in a really good position to be able to act swiftly. I  
24 mean, it's amazing to push out almost \$100 million by next  
25 month after just getting the funding this summer. So thank

25

1 you.

2           And I note that two of those three projects will  
3 be online by June to help with reliability for next summer,  
4 so that's terrific. And I just also want to especially  
5 compliment you on the diversity of the locations and  
6 partnering with the Native American tribe; all terrific.

7           I did have one question. Is it just the  
8 chemistry on the flow battery is vanadium; is that correct?

9           MR. GRAVELY: That is correct, a vanadium flow  
10 battery. That is correct.

11           CHAIR HOCHSCHILD: Okay. And then just can you  
12 quickly recap for my colleagues and I, roughly the round-  
13 trip efficiency of the different chemistries that we're  
14 talking about here?

15           MR. GRAVELY: Yeah, so the round-trip efficiency  
16 most of the battery systems are in the 80-90 percent, some  
17 of them a little bit higher. So the flow batteries are  
18 around 80 percent, the zinc batteries are around 90  
19 percent. The larger systems, the thermal storage and ion  
20 air, is around 40 to 50 percent on the average and so we're  
21 still working on those. So but you have the larger systems  
22 though they don't -- you may go a week before you're  
23 recharged, so you don't -- in the shorter systems, eight-  
24 hour systems, you're recharging every day. So round-trip  
25 efficiency becomes a bigger player. When you have 100

1 hours and you don't have to recharge but once a week, then  
2 that round-trip efficiency doesn't become as critical as  
3 some of the other elements of the technology.

4 But in general, lithium-ion has an 80 to 85  
5 percent round-trip efficiency. Probably the collage I  
6 showed you, I would say a third of those are in the same  
7 range. But most of them are in the 60 to 80 percent. And  
8 then only the larger systems, the thermal storage and the  
9 other ones that are doing 100 hours have it closer to 50  
10 percent. But I would say in a general sense, you would see  
11 70 to 80 percent being the average across that whole  
12 spectrum of a collage of different technologies.

13 CHAIR HOCHSCHILD: Yeah, well in many ways I  
14 would just say that this is sort of analogous to the  
15 offshore wind work that Commissioner Vaccaro is devoting so  
16 much of her time to now, in the sense that it's a new  
17 technology category. You know, we have onshore wind, but  
18 offshore wind has different attributes that are good for  
19 the grid. And it's the same thing with long duration  
20 storage. And this is an area again, where California is  
21 leading the world.

22 And \$380 million for this technology category is  
23 monumental. And I think combined with the passage of the  
24 IRA, there's a lot of really exciting benefits because  
25 domestic content gets you a 40 percent tax credit, and

1 domestic manufacturing get you a 50 percent. And so the  
2 timing of this is just beautifully aligned with our big  
3 investment and with the scaleup that's possible here.

4 So anyway, my congratulations to you, Mike. And  
5 I'm just opening it up to any questions or comments from  
6 Commissioner Vaccaro or the Vice Chair.

7 VICE CHAIR GUNDA: Yeah -- oh sorry, Commissioner  
8 Vaccaro, if you want to go first, please?

9 COMMISSIONER VACCARO: No, go ahead. I'll go  
10 after you. Thank you.

11 VICE CHAIR GUNDA: Yeah, Mike, just thank you  
12 again. And I think I want to just reflect on one of the  
13 things that we've heard at the long duration storage  
14 workshop that you helped put together is we might need long  
15 duration storage as early as '27-'26. So this is  
16 incredibly nice to see that we're beginning to move  
17 forward.

18 One of the questions when you think about the  
19 market right now from a barrier standpoint for long  
20 duration, could you just expand on what you see as the  
21 critical things we ought to be doing as a Commission to  
22 help accelerate the deployment?

23 MR. GRAVELY: Sure. I think the most critical  
24 thing is what we are doing. And that is we are  
25 highlighting the companies that we work with and have this

1 capability. We heard from this in April that 5 megawatts  
2 to 10 megawatts is a huge stepping stone. So ultimately,  
3 when you're buying 15,000 megawatts, or 45,000 megawatts of  
4 batteries you're not going to buy them at a kilowatt or a  
5 megawatt at a time. These companies have to be able to  
6 produce 50 to 100 megawatts. And so it's our belief that  
7 these first three companies for sure will be able to  
8 leverage in a '25-'26 timeframe project in the 30 to 50-to-  
9 100-megawatt range.

10 Our ultimate goal that we placed into legislation  
11 was to bring four to six companies to a point where they  
12 can actually deliver 30 to 50 megawatts in that before  
13 2032, in an operating system. And one of the big elements  
14 is the financial market, getting the confidence that the  
15 technology is going to be there and that it will perform.  
16 And so this is a big stepping stone. So I want to point  
17 out this \$380 million is to make a big step and advance  
18 people to the next level. We'll be working with the PUC a  
19 lot on their long-term projections and trying to  
20 demonstrate what it takes for these technologies.

21 We're developing what we call a bankability  
22 matrix, so we can show these technologies are bankable and  
23 convince the financial market. Because they need -- when  
24 you're talking about \$150 million dollar projects you need  
25 financing to be able to do that. And to be able to get

1 that financing the financier needs to be comfortable that  
2 you can deliver and you're going to be around. So I think  
3 what this \$380 million is going to do for California and  
4 for the world is to advance these technologies that have  
5 been ready at the smaller scale, but haven't been able to  
6 make that big jump. And what we're going to do is give  
7 them the opportunity to build their system, deliver it in a  
8 reasonable time, and prove it works. And then also show  
9 they have the manufacturing capacity to take the next step  
10 and deliver a 50-megawatt 8-hour system, so 400 megawatt  
11 hours.

12 So I think that's the biggest one is a  
13 performance proof of proof, and convincing the financial  
14 market that these technologies are reliable and real and  
15 will be around.

16 And so I think the lithium-ion market is already  
17 there. Or I tell this, if we have a lithium-ion project,  
18 50 megawatts, there's a bank. You can go to 25-30 banks to  
19 get financing. If you have a flow battery, if you want to  
20 get financed nobody will open the door for you. So we're  
21 trying to open those doors.

22 VICE CHAIR GUNDA: Awesome. So Mike, just one  
23 kind of comment, and I'll pass it on to Commissioner  
24 Vaccaro. I think what we've seen last week, I mean ten  
25 days of this extreme heat event that was so much outside

1 our planning standards. And it really kind of reiterated  
2 the point of carrying the strategic reserve outside the  
3 planning standards. But we need to decarbonize that  
4 strategic reserve. And I think the long duration storage  
5 could play a vital role in that. If you have a battery  
6 that you don't have to charge for several days and continue  
7 to use through a heat wave like this that would be  
8 extremely helpful. So I just want to say thank you. And  
9 this is incredible work that you guys are doing, thanks.

10 MR. GRAVELY: Thank you. Thank you, sir.

11 COMMISSIONER VACCARO: So really quick I'll just  
12 chime in. I agree with and echo everything that the Chair  
13 and Vice Chair Gunda said.

14 Mike, thank you for the presentation. Really I  
15 want to thank you for the clarity. I mean, I think what  
16 you do is you make clear that you and your colleagues in  
17 ERDD in the Energy Commission are really standard bearers  
18 for explaining and really making clear why diversity of  
19 technology and resources is so important, as we're pursuing  
20 this energy transition. But what it means, like what the  
21 work is that you're doing means, for cost-effectiveness and  
22 for market penetration I think this presentation just did a  
23 fabulous job. And I just want to commend you for that.

24 And I think that's really the drumbeat is for  
25 folks to understand why it's so important that we make, and

31



1 that the state makes these investments, and what it means  
2 to our clean energy future. So I appreciate the  
3 presentation, really appreciate the work. And I'm looking  
4 forward to those first three projects coming through in the  
5 coming months.

6 CHAIR HOCHSCHILD: Well, well said, Commissioner.  
7 Thank you.

8 Mike, I just have a few a closing thoughts for  
9 you. One is that traditionally when we talk about long  
10 duration sort of people think pumped hydro, I mean that's  
11 been the dominant. But I would just point out that in a  
12 drought the opportunity for that is threatened. And so  
13 having these other chemistries is really, really strategic  
14 on a number of levels.

15 So I would also note that one of the big bills  
16 that got through the Legislature this year was the  
17 legislation championed by Senator Laird to accelerate SB  
18 100. And so that moves the target to 90 percent by 2035,  
19 and 95 percent by 2040, keeping the end date of 2045. And  
20 so the need for storage, the need for long duration storage  
21 increases as we accelerate SB 100.

22 And then finally, one request for you, as you  
23 partner with these companies we really, really want to  
24 focus on getting as much manufacturing in California as we  
25 can. I recognize -- I'm familiar with a number of these

1 companies and they're not -- some of them are headquartered  
2 here, some of them are manufacturing elsewhere. But  
3 whatever part of the value chain they're able to  
4 manufacture in California, we want support that. And so in  
5 the course of your work, both with these initial three  
6 projects, but also all the next wave to follow to make sure  
7 they're fully aware of the offerings that we have, both  
8 through our cash grant, battery manufacturing, and through  
9 CAPA (phonetic) tax credits and CalCompetes tax credits and  
10 so forth from GO-Biz. We really want to focus on ramping  
11 up all the manufacturing that we can in-state, so just  
12 please make every effort to support that goal as you move  
13 forward with the program.

14 MR. GRAVELY: Yes, sir. That's part of our plan.

15 CHAIR HOCHSCHILD: Yeah, great. Well, Mike  
16 tremendous work, incredibly proud of you and the whole  
17 team. And this is just really exciting that we're moving  
18 this quickly. So thank you again from all of us.

19 All right, we'll turn now to Item 5, Orange Grove  
20 Energy Center. I welcome Elizabeth Huber.

21 MS. HUBER: Thank you. Good morning, Chair, Vice  
22 Chair, and Commissioners. My name is Elizabeth Huber. I  
23 am Director for the Siting, Transmission, and Environmental  
24 Protection Division, commonly known as STEP. I am here  
25 today to request your approval of a Settlement Agreement

1 between the California Energy Commission and the Orange  
2 Grove Energy Center. Also with me from the Division are  
3 Engineering Branch Manager, Geoff Lesh and our lead  
4 attorney from the Chief Counsel's Office, Kirk Oliver.  
5 Next slide, please.

6           The Energy Commission STEP Division has a  
7 responsibility as public servants to ensure that reliable  
8 energy supplies are maintained at a level consistent with  
9 the need for such energy for the protection of public  
10 health and safety, for promotion of the general welfare and  
11 for the Environmental Quality Protection.

12           As required under the Warren-Alquist Act, the CEC  
13 has established a monitoring and enforcement system to  
14 assure that any facility it has certified is constructed,  
15 operated, and decommissioned in compliance with applicable  
16 laws, ordinances, regulations and standards, and in  
17 compliance with the conditions of certification specified  
18 in the Final Commission Decision. The STEP Division  
19 implements this program.

20           Once the Energy Commission approves a power  
21 plant, the Energy Commission is responsible for conducting  
22 compliance reviews and ensuring that these permitted power  
23 plants comply with all laws and conditions of approval  
24 throughout the life of the facility. The focus of this  
25 review or inspection is on worker safety, fire safety,

1 hazardous materials management, site physical security, and  
2 other conditions of certification as warranted.

3           Of the Energy Commission's 76 jurisdictional  
4 power plants 12 are in wildfire risk areas identified as  
5 either an elevated risk, known as Tier 2, or an extreme  
6 risk known as Tier 3. The Tier 2 fire threat is where  
7 there is a higher risk from utility related wildfires. And  
8 Tier 3 fire threat areas are areas where there is an  
9 extreme risk, including the likelihood and the potential  
10 impacts on people and property from a utility related  
11 wildfire. Next slide, please.

12           Four of the 12 fire-risk power plants are in San  
13 Diego County including the Orange Grove Energy Center,  
14 which is mapped in a Tier 3 extreme fire risk area. The  
15 Orange Grove Energy Center is a 96-megawatt natural gas-  
16 fired, peaker power plant consisting of two identical  
17 simple-cycle combustion turbine generators. The facility  
18 is located near the Pala substation in unincorporated San  
19 Diego County. The project was certified by the Energy  
20 Commission on April 8th, 2009, and began commercial  
21 operation in April 2010. Next slide, please.

22           The Energy Commission staff investigated the  
23 Orange Grove Energy Center regarding an alleged failure to  
24 conduct fire pump testing and to report this change in the  
25 facility operation. The investigation included an onsite

1 visit, conference calls and discussions with facility  
2 personnel, and a comprehensive review of all relevant  
3 documents.

4           Based on this review of the information, the  
5 Energy Commission staff determined that the Orange Grove  
6 Energy Center failed to perform the required annual flow  
7 testing for their two fire pumps for the years of 2015,  
8 '16, '17, and 2018. This is a violation of their CEC  
9 license. Next slide, please.

10           The next step by the Energy Commission staff was  
11 to send a Compliance Advice Letter to Orange Grove Energy  
12 Center, requesting additional information for the annual  
13 flow testing for the fire pumps and what steps they were  
14 taking to come back into compliance.

15           After review of this additional information, the  
16 Energy Commission's staff sent Orange Grove Energy Center a  
17 Notice of Violation alleging noncompliance with its fire  
18 pump testing provisions. The staff's review also later  
19 determined that the facility had not reported or sought the  
20 CEC's approval for this change in operation as required,  
21 again, by its compliance conditions. Next slide, please.

22           Therefore, the Energy Commission staff and the  
23 Orange Grove Energy Center believe that rather than  
24 engaging in a formal adjudication it would be more  
25 productive to enter into a settlement agreement to allow

1 the Parties to focus on ensuring that the fire protection  
2 systems at the facility remain safe and reliable. The  
3 legal requirements at issue, as well as the Energy  
4 Commission staff's allegations are included in the  
5 Settlement Agreement, which provides for a payment of  
6 \$200,000.00 by Orange Grove Energy Center to the Energy  
7 Commission, which is then deposited into the state's  
8 General Fund.

9 In addition to the monetary agreement, the Orange  
10 Grove Energy Center will conduct and report the results of  
11 its fire pump testing, and will file a petition with the  
12 Energy Commission for any future changes in operation,  
13 design or performance of the facility. Next slide, please.

14 Staff recommends that the Commission approve the  
15 Settlement Agreement and the changes to the reporting  
16 requirements in the Commission Decision and direct the  
17 Executive Director to execute the Settlement Agreement on  
18 behalf of the Energy Commission.

19 This concludes the presentation and we're happy  
20 to answer any questions.

21 CHAIR HOCHSCHILD: Thank you so much, Elizabeth.  
22 And let me first say, again congratulations to you on the  
23 new role. We're really excited for your contributions in  
24 the months and years to come and a real reflection of your  
25 professionalism over the last few years. And I want to

1 thank Shawn Pittard as well for his many years of service  
2 to the Energy Commission.

3 Let's go to public comment on Item 5. Dorothy,  
4 do we have any public comment?

5 MS. MURIMI: Thank you, Chair. We do have a few  
6 raised hands.

7 Just a quick reminder for attendees, use the  
8 raised-hand icon to indicate that you'd like to make a  
9 comment. And if you're calling in press \*9 to indicate  
10 that you'd like to make a comment and \*6 to unmute on your  
11 end.

12 So first we have Imre Gyuk, and apologies if I've  
13 misstated your name. Please state and spell your name and  
14 give your affiliation, if any. You may begin your comment.  
15 Again, this is for Item 5. And that was I-M-R-E G-Y-U-K,  
16 Imre Gyuk. Your line is unmuted. (Audio difficulties.)  
17 Seems to be having some technical difficulties, we'll come  
18 back.

19 Next we have Peter. Please state and spell your  
20 name, give your affiliation if any. This is for Item 5.  
21 That is Peter. (No audible response.) Seeing no  
22 responses. There may be two -- we have two more raised  
23 hands, Ms. Steph?

24 MR. GRAVELY: Noemi, this is Mike Gravely. I  
25 think the two of them wanted to comment on Item 4. And

1 I've asked them to wait till the end at the public comment,  
2 so I think that that's why they mixed it up. I think they  
3 were both interested in commenting on Item 4 and we're on 5  
4 now, so I think they will pick up at the public comment at  
5 the end.

6 MS. HUBER: Okay, thank you for letting me know.

7 DR. GYUK: I'm online.

8 MS. MURIMI: Oh, apologies. That was Imre, did  
9 you have a comment on Item 5? (No audible response.)

10 Okay, we have Gwenneth O'Hara.

11 MS. O'HARA: Yes, hi. This is Gwenneth O'Hara  
12 and I am Counsel to Orange Grove Energy. And just wanted  
13 to take a minute first of all to say that Orange Grove  
14 Energy has a long-standing commitment to energy needs in  
15 California and looks forward to continuing its relationship  
16 with the Commission. And to take time to thank the  
17 Commission staff for working very collaboratively with us  
18 to get this issue resolved, and we look forward to the  
19 partnership going forward.

20 MS. MURIMI: Thank you, Gwenneth.

21 We have Olga Gomez. Olga Gomez, your line is  
22 unmuted. You may give your comment. Please state and  
23 spell your name.

24 MS. GOMEZ: Yes, can you hear me now?

25 MS. MURIMI: Yes.



1 MS. GOMEZ: Okay. First I'd like to say in my  
2 Rumsen language: [Greeting in Rumsen]. I'm saying, "Good  
3 day. Hello to all people. I am happy to be here with you  
4 all, my relatives and relations."

5 I'd like to make a comment and a question at the  
6 same time. I am Tribal Council from the Costanoan Rumsen  
7 Carmel Tribe. And my comment is like -- because I have  
8 another meeting to attend to in just a little while I've  
9 just got just a brief comment and question.

10 Okay, lack of water in the region is not just a  
11 single potential problem with lithium mining. Toxic  
12 chemicals can leak from evaporation ponds, pools to the  
13 water supply such as hydraulic acid, which is used in  
14 processing lithium as well as waste products that can  
15 filter out of the brine. Lithium is usually extracted from  
16 rock using more traditional methods. Nevertheless, this  
17 requires the use of chemicals.

18 In Nevada, research found impacts of a fish 150  
19 miles downstream, downstream from a lithium processing  
20 operation. And in Australia, research showed that only 2  
21 percent of the country's 3,300 tons of lithium-ion waste  
22 was recycled. That in itself can cause problems of  
23 unwanted batteries, electronics, batteries that can end up  
24 in landfills, etcetera, and ionic fluids can leak into  
25 underground water reservoirs.

1           The key problem here is that manufacturers are  
2 usually secretive regarding what actually goes into the  
3 batteries. My question is where will the future of the  
4 lithium waste be going to from these lithium-ions in the  
5 future to be recycled?

6           And my next question is, what guarantees do we as  
7 people and of the children have today, tomorrow, and those  
8 to come, have of the guarantee that these mining projects  
9 will have no effect on our drinking water resources. Or  
10 respiratory ill health from the impacts of air pollution  
11 and climate change?

12           And as people are meant to, we depend on  
13 ecosystems for water source, for land, the atmosphere for  
14 our own existences. And those are my two questions I have  
15 with that. And also (indiscernible) Tinker.

16           Thank you. And those are just my comments and my  
17 questions. [Rumsen language].

18           MS. MURIMI: Thank you for your comments.

19           And Imre Gyuk, did you have a comment on Item 5?

20           DR. GYUK: Yes, I believe I can talk now.

21           MS. MURIMI: Okay. Yes, go ahead.

22           DR. GYUK: Commissioners, I'm Imre Gyuk and I  
23 direct the Energy Storage Research Program at DOE's Office  
24 of Electricity. It's my pleasure today to support the  
25 energy storage plans of the California Energy Commission as

1 explained by Mike Gravely.

2           The California Energy Commission and my DOE  
3 storage program have a long history of collaboration, going  
4 back to when there was little support for energy storage.  
5 Back in 2005 we formed an MOU to explore the advantage of  
6 energy storage for frequency regulation. This became the  
7 first commercially viable application of storage on the  
8 grid. It was the beginning of an exponential rise in  
9 storage deployment.

10           Today, energy deployment is measured in  
11 gigawatts. California alone has some 3.3 gigawatts  
12 installed. And every one of these was needed when  
13 temperatures in California reached record highs earlier  
14 this month.

15           Energy storage has a new driver. It's no longer  
16 about a better functioning grid or about a more cost-  
17 effective grid. It's about climate survival. We must  
18 decarbonize and we must turn to renewable resources. And  
19 we can't do this without energy storage, massive amounts of  
20 it.

21           Short duration storage, say 15 minutes to 4  
22 hours, has already found its place on the electricity grid.  
23 Lithium-ion batteries have proven a good and reliable  
24 medium for applications up to four hours with good business  
25 cases. But as we continue to install more renewable

1 resources we will need storage of medium duration, say four  
2 hours to one day, and eventually long duration. And for  
3 this lithium batteries are not ideal. We must turn to non-  
4 lithium batteries like flow batteries, zinc, and sodium-  
5 ion. There is much research on these options and many  
6 startups, but very little deployment.

7           The Department of Energy has big plans for long  
8 duration storage based on the Infrastructure Investment  
9 Act. New York State Energy Research and Development  
10 Authority also has substantial plans, which we are  
11 supporting through an MOU. But first in line is the  
12 California Energy Commission. CEC has put together a well  
13 thought out portfolio of medium duration, non-lithium  
14 technologies.

15           To support this effort we have formed an MOU with  
16 CEC. An experienced team of experts at Sandia National  
17 Laboratory will provide technical assistance to CEC. They  
18 will be visiting the factories and sites to oversee  
19 manufacturing quality, help with safety issues, and aid in  
20 system commissioning. We look forward to a fruitful  
21 collaboration. Thank you very much.

22           MS. MURIMI: Thank you, Imre.

23           Next we have Peter. Please unmute on your end,  
24 you may begin your comments.

25           MR. DAILEY: Good morning, it's an honor to speak

1 to this august, thought-leading group. We have had our own  
2 assets in California and think it's one of the best places  
3 in the world to be involved in the energy business.

4 My name is Peter Dailey D as in David A-I-L-E-Y.  
5 I'm the CEO of International Electric Power, which has been  
6 in business for 19 years as an energy and power investor  
7 and developer. We have done \$3.5 billion in power plant  
8 transactions in the U.S. and abroad. We are now focused  
9 solely in the U.S. markets on battery storage.

10 Prior to launching into battery storage we spent  
11 six months with scientists and engineers studying all  
12 battery technology. And we concluded that the Eos zinc-  
13 bromine battery was the best on several elements: the  
14 electrolyte, the sustainability of the materials, the  
15 round-trip efficiency, the long duration state of charge.  
16 And from an economic standpoint, the cost. And from an  
17 operational standpoint, the robustness of the technology.  
18 It lasts at least twice as long as lithium-ion.

19 There is however in any technology no free lunch,  
20 so nothing is perfect. Unfortunately none of the engineers  
21 and scientists have come up with a perfect electrolyte.  
22 But in our view the best utility-scale, long duration  
23 application is the Eos technology and we have invested  
24 substantial dollars in that technology.

25 We are currently installing 120 megawatts of Eos

1 batteries and let me repeat that: 120 megawatts. And you  
2 know, I understand that California has substantial need for  
3 non-lithium technology. Our projects are actually in  
4 construction. We have discussed the technology with not  
5 less than 190 investors. And, as you know, Eos recently  
6 went public. The technology, we believe, is now proven and  
7 we're putting our money where our mouth is.

8           And the Chairman mentioned the IRA. This  
9 technology will attract a 50 percent tax credit. And if  
10 it's in an energy community it's potentially 60 percent.  
11 So the bottom line is for California we are prepared to  
12 install 100 install-and-connect by the fourth quarter of  
13 2024, 100 megawatts and 800 megawatt hours of battery  
14 storage.

15           So thank you for your time. Please let me know  
16 if you have any questions.

17           MS. MURIMI: Thank you for your comment, Peter.  
18           Chair, with no further comments I'll go back to  
19 you.

20           CHAIR HOCHSCHILD: Okay, thank you. We got a  
21 couple of comments that I think were not related to Item 5,  
22 but were valuable. And thank you for all of those.

23           Let's turn now to Commissioner discussion,  
24 starting with Commissioner Vaccaro.

25           COMMISSIONER VACCARO: Thank you, Chair

1 Hochschild.

2           So good morning, Elizabeth. Thank you for the  
3 presentation, I really appreciate it. You know, I  
4 appreciate the work of the STEP team and the CCO team and  
5 the investigation, the working through, developing what you  
6 all believe is a fair and reasonable settlement. I know  
7 that you, the Executive Director, CCO, wouldn't move  
8 forward with something that you didn't think was fair and  
9 reasonable. And I really appreciate that the project owner  
10 was able to meet staff and get to this resolution.

11           And I think I can support this, but I just want  
12 to let you know I've got some reservations, or a little bit  
13 of pause here. And I think it's just because of the  
14 structure of the way the settlement agreement  
15 (indiscernible) was presented to us. Like we're supposed  
16 to be focused on the four corners of the documents in front  
17 of us, yet I feel like I have a lot of questions.

18           And I've got some concerns, because your  
19 presentation said, "This is a project in a Tier 3 area."  
20 This is a fire suppression system that had not been tested  
21 as it should for at least 2015, 2016, 2017, 2018. I'm not  
22 entirely sure by the settlement documents when it was fully  
23 remediated. Was it before the Notice of Correction, before  
24 the Notice of Violation? Like I don't know, but I know it  
25 was at least four years in a Tier 3 area, where the State

46

1 of California has just seen devastating impacts from  
2 wildfires. And the whole point right, of a fire  
3 suppression system is to be able to protect property and  
4 protect lives, not just of the workers at the facilities  
5 but the neighboring communities.

6 And so for me, this seems really serious and  
7 really big. And I don't know what the maximum amount of  
8 the penalty is that we could have asked for, or that staff  
9 could have pushed for in a quasi-adjudicative context. So  
10 I'm not sure \$200,000 is the right amount. But I'm not  
11 sure that it's not either. I suspect that what staff did  
12 was also look at comps, or comparable; by that I mean  
13 comparable settlements that we might have had in the past  
14 where fire suppression systems and other things were at  
15 issue.

16 And so I say all of this, because I've got a  
17 number of questions, and they're not in the four corners of  
18 the document. And I'm pretty sure we can't have a  
19 discussion about it. But Kirk Oliver is here to set me  
20 straight on that.

21 And so this is a lot of words, right? But it's  
22 just letting you know why I'm a little bit conflicted,  
23 because I support the work that you all do. And I think  
24 you do exercise good judgment in this space. But I also  
25 feel like this is very serious, and that we probably could



1 have gotten more as a penalty out of this. And I think a  
2 higher penalty is probably warranted. But when you take  
3 everything on balance, and again what a settlement affords  
4 everyone in terms of use of resources, economy of  
5 resources, not having to go through any type of  
6 adjudication, I get all of that.

7 But I'm really very conflicted. And so maybe one  
8 of the questions I have and maybe it's for Kirk Oliver to  
9 answer is what can we talk about right now in this moment,  
10 if at all other than whether or not to approve this  
11 settlement? And if that's really the box that we're in  
12 right now that's okay, I just need to know it. Or if  
13 there's more that we can discuss that would just be  
14 (indiscernible).

15 CHAIR HOCHSCHILD: Could I add to your question?  
16 I would love to hear the rationale of how we got to  
17 \$200,000. And what can you share about why that was the  
18 number brought to us?

19 MS. HUBER: I'm definitely going to defer to our  
20 legal experts in the Chief Counsel's Office and Kirk should  
21 be here to answer that question. (No audible response.)  
22 Kirk I think you're muted.

23 MR. OLIVER: Thank you very much. I'm just  
24 trying to get my video to go. Can you hear me now?

25 CHAIR HOCHSCHILD: We can hear you fine. Yep.

1 MR. OLIVER: Okay, very good. Well, I hope you  
2 can live without my video, it's not working right now.

3 So those are all very fair questions and sitting  
4 in the position that the Commission sits in I think those  
5 are entirely legitimate. And also we're striking a balance  
6 here. Because the Commission, if we were not able to go  
7 forward with an approval on the settlement, the Commission,  
8 as you know would be possibly involved in the next  
9 alternative, which would be to prosecute the case through  
10 the complaint process.

11 So we're striking a fine balance here to keep the  
12 Commission informed in general about how this process went  
13 forward across the board. And how it happened in this  
14 particular case without stepping over the line and calling  
15 into question the Commission's ability to fairly hear the  
16 case if it were to come before the Commission. So that's  
17 the balance we're trying to strike.

18 So with that in mind I think first and foremost  
19 it raises in my mind the need for an informational item to  
20 be brought to the Commission to talk about this process and  
21 the resolutions that we have received. In other cases  
22 there are faces on the Commission that weren't here when  
23 those other settlements were approved. And it's  
24 fundamental to us that we do treat the different violations  
25 similarly. So it should be the case that the Commission

1 has the access to what those resolutions were and in  
2 general how they were reached.

3 I can tell you in this particular case we did  
4 have comparable settlements that we looked at in terms of  
5 how much of a penalty was obtained for similar violations.  
6 And we went back in, to the best of our ability were --  
7 used those as a starting point.

8 Now, when we're talking about violations of these  
9 requirements we're talking about a penalty structure that  
10 was adopted 30 or 40 years ago and has never been updated.  
11 So the penalties that we're dealing with here, for a single  
12 violation that doesn't extend over more than one day,  
13 regardless of the consequences of that violation, the  
14 maximum penalty is \$75,000. And if the violation occurred  
15 over a period of time the law would allow an additional  
16 \$50,000 computed on a daily basis to be added to that  
17 maximum.

18 So in the powerplant context for one violation  
19 the maximum penalty is \$125,000. And the statute also --

20 COMMISSIONER VACCARO: I'm sorry. I'm going to  
21 interrupt you, Kirk. You mean "per violation," right? Or  
22 you mean "totality?"

23 MR. OLIVER: Per violation.

24 COMMISSIONER VACCARO: Thank you.

25 MR. OLIVER: So in this particular case there the

1 requirement extended over a four-year period of time. And  
2 it involved two separate fire pumps. So there was a total  
3 of eight potential violations that we engaged with the  
4 company over. At \$75,000 a violation you're looking at  
5 something between a million and a half a million dollars.  
6 At \$125,000 that would have been a maximum million-dollar  
7 penalty.

8           We had brought to you a couple of years ago for a  
9 resolution, a settlement agreement with the Geysers  
10 facilities that were all combined into one particular  
11 settlement. That involved many more separate violations  
12 than this did. That extended over a much longer period of  
13 time. That was also in a high fire-danger area and there  
14 was a fire that actually occurred outside of those  
15 facilities, as I'm sure you're well aware.

16           In that case the penalty structure and the  
17 factors that we considered -- and keep in mind this is  
18 something that we engage with the regulated entity over to  
19 try to come up with a reasonable resolution of it -- we  
20 mutually agreed in their case that a penalty of \$2.1  
21 million was appropriate.

22           In this case the violations extended over a much  
23 shorter period of time. There was not a fire in the  
24 proximity of the facility. And in neither case was there a  
25 harm or property damage that occurred as a result of the

1 violation, in either the Geysers or here. And the Geysers  
2 case involved a great many other violations. But the ones  
3 that dealt with the testing and the reporting of the  
4 testing ended up yielding a penalty in the range that we  
5 ultimately settled on here, which was approximately \$25,000  
6 per violation.

7 CHAIR HOCHSCHILD: Okay. Can I ask a question  
8 though --

9 MR. OLIVER: Yes.

10 CHAIR HOCHSCHILD: -- which is one, and I very  
11 much appreciate the point of Commissioner Vaccaro's  
12 question here -- just it seemed to me one principle we  
13 ought to adhere to: it should be more expensive to get a  
14 penalty than to just be non-compliant, right? I mean, I  
15 don't know what the cost for them to administer these fire  
16 pump testing procedures are eight times over the course of  
17 four years. But presumably \$200,000 is more than that.

18 If it's less than that I do have an issue with it  
19 because this should not be, I think partly we want to send  
20 a message, "You really have to comply and it's more  
21 expensive not to comply." So I mean, one question I have  
22 is what is the cost to this entity to do that testing? Do  
23 we have some sense of that?

24 MR. OLIVER: Well in the investigation we did  
25 obtain information about what the expense to the company

1 would have been in terms of constructing a collection  
2 facility that would collect the pump test water. There was  
3 an indication in the investigation, the investigation file  
4 is there, that the expense of constructing that was  
5 dramatically less than the penalty that was taken here. So  
6 I can say that the staff is well-confident that the penalty  
7 that was taken here far exceeded what the cost of  
8 compliance was in this particular case.

9 CHAIR HOCHSCHILD: Okay, thank you. That's  
10 helpful.

11 Commissioner, any further questions on your side?

12 COMMISSIONER VACCARO: Yeah, and I guess -- yes,  
13 yes I do. I just have just a couple. So first of all  
14 thank you, Kirk, really appreciate your ability to answer  
15 those questions and to provide that background.

16 I like that you raised the topic of an  
17 informational item in the future to the Commissioners. I  
18 feel like it probably needs to be something other than  
19 informational. I think it probably needs to be maybe an  
20 action, the possibility of some action in some direction  
21 from the Commission as well on maybe some things that we  
22 would like to see, even in the settlement agreements.

23 I understand these are negotiations. And I know  
24 it's very -- there's certain things that are just hard to  
25 get that agreement on from project owners. But I do feel

1 like there's some content that really is important to be in  
2 these settlement agreements for us to feel, is that we are  
3 really understanding sort of the factual underpinnings and  
4 what's going on. Sort of what is recklessness versus just  
5 a negligence of a certain sort. And how "eyes wide open"  
6 are folks in some of this.

7           So for instance, like I read the background  
8 materials. So from 2010 to 2015 I guess we're presuming  
9 that this testing was occurring as it should have. But for  
10 some reason, starting in 2015, it hadn't been. And these  
11 things make me curious. What happened between 2014 and  
12 2015?

13           And again, I still am curious how soon after you  
14 alerted the project owner did we get sort of that  
15 compliance? And how do we make sure in the future that  
16 there is compliance? I mean, I heard, Elizabeth, you  
17 mentioned they're going to be doing reporting. But weren't  
18 they reporting to us all along? Or is this something where  
19 there was no reporting? So it makes me wonder, were we  
20 getting reports telling us that there was compliance when  
21 there actually was no compliance or were we not getting  
22 reports?

23           And so I mean I don't want to belabor this issue,  
24 right? But I feel like it's serious when we are in a Tier  
25 3 area, even if there wasn't an actual fire. I feel like

1 "Thank goodness there wasn't a fire." But really, the  
2 reason for these types of safety measures is to make sure  
3 that there is a readiness and to avoid harm to life and to  
4 property. And so to me that's not a pass. That to me  
5 isn't a reason for a lower amount just because you didn't  
6 have the catastrophic event occur.

7           So there's a lot here, but what this tells me is  
8 there's an opportunity for us as an agency to think about  
9 what we're looking for as we develop the settlement  
10 documents, the content. And really, when we -- when it's  
11 okay to deviate from the comps I totally respect, Kirk, the  
12 mention of the comparables and how important it is, because  
13 we don't want to be arbitrary. We don't want to be doing  
14 things that are unfounded and aren't bounded in  
15 reasonableness. On the other hand, I don't think comps are  
16 outcome-determinative. I think they just provide some  
17 framework for analysis and for thinking about where we go.

18           So again, I just mentioned I could support this,  
19 but I'm conflicted. I'd love to hear what my colleagues on  
20 the dais have to say, and any further questions that the  
21 Chair and Vice Chair might have before we kind of get to an  
22 actual motion and vote on this item.

23           Thanks for the willingness to sort of hear all of  
24 these words and all of these thoughts, but this one to me  
25 is just it's serious. The Geysers was very serious as



1 well. So again, thank you Elizabeth and Kirk, for your  
2 professionalism and responding to these questions.

3 MR. OLIVER: Thank you, Commissioner.

4 CHAIR HOCHSCHILD: Thank you, Kirk. Thank you,  
5 Commissioner.

6 I'll just say, you know, I'm happy to support  
7 this proposal as it's crafted. Just going forward though I  
8 really appreciate the direction of Commissioner Vaccaro's  
9 comments. And the principle that matters to me is that the  
10 fine that's assessed be more expensive than the cost of  
11 compliance, right? We don't want this to be like a parking  
12 ticket. There should be a consequence, and that it reflect  
13 the urgency around fire, going forward.

14 So but for purposes of this I'm fine with the  
15 proposal. And would welcome any comments from the Vice  
16 Chair as well, if you have any thoughts you'd like to  
17 share?

18 VICE CHAIR GUNDA: No, I just really appreciate  
19 Commissioner Vaccaro raising these questions. And for me  
20 this is really informative. I haven't really followed  
21 previous cases on this. And it's just I really appreciate  
22 the dialogue and the principles laid out. So I look  
23 forward to future cases.

24 And then how we go about thinking through what  
25 Commissioner Vaccaro especially pointed out, which is how

1 do we look at the projects and compliance in the new  
2 climate change paradigm, right? To the extent that we have  
3 the obligation to provide compliance, to avert issues like  
4 this given the climate conditions, given the equity  
5 implications, like what we've seen in the last year on  
6 Russell City, right? So how do we really think through the  
7 changes that need to be made from a compliance and the  
8 principles that we want to push?

9           So I look forward to having the discussion. And I  
10 really look to Commissioner Vaccaro's expertise on this.  
11 And I totally agree with the Commissioner and with Chair  
12 Hochschild, just the principle of the fine being a  
13 meaningful deterrent for noncompliance. So with that I  
14 know I look forward to supporting it. But then really want  
15 to pursue Commissioner Vaccaro's recommendations, moving  
16 forward.

17           CHAIR HOCHSCHILD: So Commissioner Vaccaro, any  
18 final comments or amendments to you'd like to offer to  
19 this? I'm totally open to anything you'd like to put  
20 forward.

21           COMMISSIONER VACCARO: Yeah. Yeah, thank you.  
22 No, I don't have any amendments. Again, I want to commend  
23 the staff and the CCO teams for their work and their  
24 diligence. I mean, I know what it takes to reach one of  
25 these negotiated settlements. And I know that there was a

57

1 lot of diligence on the investigative side.

2 So again, I just want to commend you all for the  
3 work and for bringing this forward. My questions, my  
4 thoughts are not a reflection in any way of anything  
5 negative in the work or your professionalism. It's just  
6 the way that I'm thinking about it with the hat that I wear  
7 right now. So thank you all for that.

8 I am prepared Chair, to move approval of this  
9 item.

10 CHAIR HOCHSCHILD: Okay, that would be great.  
11 Commissioner Vaccaro has moved Item 5.

12 Vice Chair Gunda, would you be willing to second?

13 VICE CHAIR GUNDA: Yes, second Item 5.

14 CHAIR HOCHSCHILD: All in favor say aye.

15 Commissioner Vaccaro?

16 COMMISSIONER VACCARO: Aye.

17 CHAIR HOCHSCHILD: Vice Chair Gunda?

18 VICE CHAIR GUNDA: Aye.

19 CHAIR HOCHSCHILD: And I vote aye as well. Item  
20 5 passes 3-0.

21 And let me just emphasize I really --  
22 Commissioner Vaccaro's point about the urgency on fire, we  
23 cannot overstate this. This is something we need to pound  
24 that drum in every way every day that we possibly can, to  
25 ensure we're being fire-safe. We're being hit by the worst

58

1 wildfires in our state's history the last few years. And  
2 so this is an all-hands-on-deck moment. And I hope,  
3 Elizabeth, that you can take this conversation and dialogue  
4 as some guidance for how to approach these kind of  
5 questions in the future and hope that was useful for you  
6 and the team.

7 MS. HUBER: Very, good direction.

8 CHAIR HOCHSCHILD: Okay. Thank you so much.  
9 Appreciate all the work.

10 We'll turn now to Item 6, Anaheim Transportation  
11 Network. Welcome, Esther.

12 MS. ODUFUWA: Yes. Good morning everyone. My  
13 name is Esther Odufuwa with the Fuels and Transportation  
14 Division. And I will be presenting the ATN agreement this  
15 morning.

16 Today I am seeking approval for one agreement  
17 which is the last of the seven agreements that resulted  
18 from the Zero-Emission Transit Fleet Infrastructure  
19 Deployment Solicitation. When completed this project and  
20 others will demonstrate large-scale infrastructure  
21 projects, they will demonstrate resiliency, and also  
22 provide the best practices and key lessons learned for  
23 future replicability at other transit agencies. Next  
24 slide.

25 So again, this is an agreement with the Anaheim

1 Transportation Network, otherwise referred to as ATN. The  
2 new infrastructure will in the future allow for the  
3 operation of zero-emission transit fleets and more clean  
4 buses which will then reduce greenhouse gases and motor  
5 vehicle emissions in a region that is classified as: an  
6 extreme non-attainment area for the eight-hour ozone; and a  
7 serious maintenance area for carbon monoxide.

8           The project will also provide reliable charging  
9 infrastructure that will increase reliability and operation  
10 of the transit system, providing access to job centers and  
11 services for disadvantaged communities.

12           And as I previously presented at the October  
13 13th, 2021, business meeting there are more than 11,500  
14 transit buses operating in California. And again, if all  
15 these transit buses in the state were capable of  
16 discharging through an average dedicated 60-kilowatt  
17 bidirectional charger, combined they would represent about  
18 700 megawatts of flexible capacity that could support the  
19 grid during the times of peak demand.

20           Another great benefit of this project to the  
21 community is that ATN will be providing free services.  
22 Actually, they actually provide free service for employees  
23 of the Anaheim Resort and these people will enjoy cleaner  
24 buses and cleaner air. Next slide.

25           So CEC funding will allow ATN to install the

1 charging infrastructure, including microgrids to support up  
2 to 50 electric transit buses. So this project is part of  
3 ATN's strategy to convert its entire fleet by installing  
4 them infrastructure that will enable an optimal EV-designed  
5 charging system during lowest grid peak energy demand and  
6 avoiding the need to utilize the grid at peak demand  
7 periods. So theoretically the BYD buses that can be used  
8 to power a home, feed energy back into the electricity  
9 grid, and even provide backup power in the event of a  
10 blackout or/and emergency.

11           With that said the V2G or V2V has not yet really  
12 been developed but BYD has done Vehicle-to-load, which is  
13 also known as V2L, and this is a functionality in some  
14 recently launched EVs with features that allow large  
15 batteries in electric vehicles to power something external  
16 to the car, such as a domestic appliance.

17           For this project the microgrids and the EV  
18 charging equipment will be connected to the utility  
19 electric grid; the solar arrays will be installed to  
20 generate green power; staff would also be trained on the  
21 use and safety requirements of the new infrastructure; and  
22 finally, best practices will be shared with other  
23 stakeholders.

24           So shown on this slide is the rendering of the  
25 solar canopy arrays over the bus charging at the Claudina

1 facility. Next slide.

2           The charging facilities will use a combination of  
3 200-kilowatt AC chargers and 80-kilowatt AC chargers. For  
4 the 200- kilowatt AC chargers shown on the left both wires  
5 will be plugged into a single 60-foot electric bus for  
6 charging. Similarly, for the 80-kilowatt AC chargers shown  
7 on the right, both wires will be plugged into a 40-foot  
8 electric bus for charging. So having three 80-kilowatt  
9 chargers and one 200- kilowatt charger will actually offer  
10 ATN the flexibility while charging the mix of BYD's 40-feet  
11 and 60-foot electric buses.

12           So these buses will be used to demonstrate the  
13 infrastructure in the project and will have a range of  
14 between 175 miles for the 40-foot buses, and up to 220  
15 miles for the 60-foot buses on a single charge. And this  
16 can be fully charged between 2 hours to 3.5 hours,  
17 depending on the battery capacity of the bus. Next slide.

18           This project will also create an integrated  
19 scalable system for solar-powered charging of buses and  
20 offer resiliency by installing an onsite battery energy  
21 storage system with a microgrid controller unit across the  
22 two sites that allows it to interact with the chargers, the  
23 grid, and the PV system in place.

24           So shown on this slide is the Tesla Megapack  
25 battery energy storage system which stores energy for the

1 grid reliably and safely, eliminating the need for gas  
2 Peaker plants. Each unit can store over 3-megawatt hours  
3 of energy, and that's enough to actually power an average  
4 of 3,600 homes for one hour. Next slide.

5 Staff recommends approval of this grant award and  
6 adoption of staff's determination that the project is  
7 exempt from CEQA. Thank you all for your time and  
8 consideration of this item. I believe Diana Kotler, the  
9 Executive Director at ATN is on the call to make comments  
10 and answer any questions about the project. That concludes  
11 my presentation.

12 CHAIR HOCHSCHILD: Thank you so much, Esther.  
13 We'll turn now to public comment on Item 6.

14 MS. MURIMI: Thank you, Chair.

15 Once again, for individuals that are on Zoom go  
16 ahead and use the raised-hand feature to indicate that  
17 you'd like to make a comment. And if you're calling in  
18 press \*9 to raise your hand and \*6 to unmute on your end.  
19 Giving that a moment.

20 Seeing no raised hands, Chair, I'll hand the mic  
21 back to you.

22 CHAIR HOCHSCHILD: Okay, Diana Kotler is not on  
23 to make a comment?

24 MS. ODUFUWA: I actually saw her on the call.

25 MS. MURIMI: Oh, Chair, she has just raised her



1 hand to me so (indiscernible).

2 CHAIR HOCHSCHILD: Oh yes, please. Diana,  
3 welcome. You're welcome to make a comment at this time if  
4 you'd like.

5 MS. KOTLER: Well I just wanted to thank Esther  
6 and the Commission staff for working with the ATN on this  
7 project. And we're really looking forward to delivering  
8 this. Oh sorry, I just saw my timer come in. I apologize.  
9 I just wanted to thank the Commission staff for  
10 consideration of our project. And we look forward to  
11 working with you on delivering this system to the citizens  
12 of California and Anaheim. Again, thank you for your  
13 consideration.

14 CHAIR HOCHSCHILD: What is -- can I ask you what  
15 is the timing when you think this project would be  
16 complete?

17 MS. KOTLER: We are anticipating that the  
18 construction of the project will begin late fall and it  
19 will take approximately 10 to 12 months to complete.

20 CHAIR HOCHSCHILD: Okay. And then are you  
21 advantaged by the new tax credits in the IRA in any way for  
22 this?

23 MS. KOTLER: I believe we are.

24 CHAIR HOCHSCHILD: Great. Well, terrific. Thank  
25 you all for your work, Esther, to you and the team.

1           You know, I just want to observe again we are  
2 pushing out so much money these days, we -- in many states  
3 and most states a \$5 million investment to do EV charging  
4 and microgrids for supporting 50 electric transit buses  
5 would be the biggest thing they do all year. For us this  
6 is another milestone in what's now almost \$4 billion we're  
7 putting into EV charging in the coming years. But this is  
8 just fantastic to see.

9           I think the heavy-duty stuff for me is  
10 particularly exciting because of the grid benefits that are  
11 available. And I just want to point out we had the highest  
12 electric demand in the history of the state last Tuesday.  
13 We needed absolutely every lever that we could to support  
14 that substantial challenge. And the flexibility that we  
15 get with these kinds of projects is good for the grid. And  
16 this is one of the reasons why the ISO is very supportive  
17 of electrification. It's just more tools at our disposal,  
18 and we want everything that connects to the grid to be a  
19 good citizen of the grid. And I think this is another  
20 example of that, so I just want to say my enthusiastic  
21 support for this. I'm channeling Commissioner Monahan  
22 who's under the weather and not able to join us today, but  
23 thanks to all.

24           I just would open up if there's any comments or  
25 questions from my colleagues? If not Commissioner Vaccaro,

65

1 would you be willing to move Item 6?

2 COMMISSIONER VACCARO: Yes, I'd be happy to. I  
3 move approval of Item 6.

4 CHAIR HOCHSCHILD: And Vice Chair Gunda, would  
5 you be willing to second?

6 VICE CHAIR GUNDA: Yes, second Item 6.

7 CHAIR HOCHSCHILD: Okay. All in favor say aye.  
8 Commissioner Vaccaro?

9 COMMISSIONER VACCARO: Aye.

10 CHAIR HOCHSCHILD: Vice Chair Gunda?

11 VICE CHAIR GUNDA: Aye.

12 CHAIR HOCHSCHILD: And I vote aye as well. Item  
13 6 passes 3-0.

14 We, as I mentioned earlier, Item 7 has been  
15 removed from the agenda. So we'll turn now to Item 8,  
16 Reliable, Equitable and Accessible Charging for Multi-  
17 family Housing. I welcome Kristi to present.

18 MS. VILLAREAL: Good morning Chair and  
19 Commissioners. My name is Kristi Villareal, and I'm with  
20 the Fuels and Transportation Division. Today staff is  
21 seeking approval for three projects that were proposed for  
22 funding under the Reliable, Equitable, and Accessible  
23 Charging for Multi-family Housing solicitation, which is  
24 referred to as REACH. Next slide, please.

25 At-home charging for electric vehicles or EVs is

1 often the cheapest and most convenient form of charging.  
2 Installing charging for multi-family housing like apartment  
3 buildings can be challenging, especially when the residents  
4 are low-income. Multiple studies have shown that  
5 homeowners are far more likely than renters to own EVs, due  
6 in part to a lack of accessible charging infrastructure at  
7 home. The REACH solicitation is designed to address these  
8 issues and add measurable benefits for these communities  
9 and statewide.

10           The proposed projects will deploy at least 583  
11 Level 1 and Level 2 charging ports to multi-family housing  
12 properties and test innovative models for installing  
13 charging to help meet statewide electric vehicle adoption  
14 goals. At least half of the chargers are within  
15 disadvantaged or low-income communities. Next slide.

16           The first proposed agreement is with Ecology  
17 Action Santa Cruz. Staff is requesting \$2,999,801 for this  
18 project, which will install at least 375 Level 1 and Level  
19 2 charging ports. The scale of this project makes it  
20 unique. By using Level 1 installs in conjunction with  
21 Level 2 costs are kept lower because of the installed cost  
22 differences between the two, Level 1 being the less  
23 expensive of approximately \$3000 per port. This allows for  
24 a widespread rollout.

25           Ecology Action is targeting 75 percent of the

1 installations in disadvantaged communities. The images on  
2 this slide show examples of chargers and charger layouts  
3 that they plan to utilize. Next slide.

4           The next proposed agreement is with CLEAResult  
5 Consulting Incorporated. Staff is requesting \$2,007,360  
6 for this Scalable Charging to enable majority EV ownership,  
7 or SCHEME project. The SCHEME project will use an  
8 innovative technology, the smart EV circuit breaker, which  
9 has a lower cost of installation and ownership. This  
10 project will install at least 100 Level 2 charging ports.

11           CLEAResult anticipates that about 75 percent of  
12 the served units will be in affordable housing  
13 developments. Next slide.

14           The final proposed agreement is with Sacramento  
15 Municipal Utility District, or SMUD. Staff is requesting  
16 \$2,229,000 for the ChargeReady Community project, which is  
17 the Sacramento region's replicable, equity-first EV  
18 charging solution for multi-family housing. ChargeReady  
19 Community's unique approach will implement streamlined  
20 installation for both existing and new construction multi-  
21 family housing, offering no- and low-cost payment options.

22           This project also provides the infrastructure for  
23 a no-cost, onsite carshare program, which is funded by  
24 Sacramento Metropolitan Air Quality Management District.  
25 This project will deploy a minimum of 108 Level 2 EV

1 charging stations at 6 affordable housing properties  
2 throughout Sacramento. Next slide, please.

3 Staff's recommendation is to approve these  
4 agreements and adopt staff's determination that these  
5 actions are exempt from CEQA. Online I believe we have  
6 Ecology Action's Mahlon Aldridge and Sherry Bryan. We also  
7 have should have Joshua Rasin from SMUD as well as JoAnne  
8 O'Neill and James Russell from CLEAResult who are  
9 available to make comments and/or answer questions. Thank  
10 you very much for your consideration. I am happy to answer  
11 any questions you may have as well.

12 CHAIR HOCHSCHILD: Thank you so much.

13 We'll turn now to public comment on Item 8.

14 MS. MURIMI: Thank you, Chair. We'll start with  
15 Mahlon, Mahlon Aldridge. Apologies if I've misstated your  
16 name. Please state and spell your name, give your  
17 affiliation, and you may begin.

18 MR. ALDRIDGE: Great, thank you. Yes, this is  
19 Mahlon Aldridge. I'm with Ecology Action. My name is  
20 spelled M-A-H-L-O-N, Aldridge A-L-D-R-I-D-G-E, Vice  
21 President of Strategy here. And I wanted to just give a  
22 very heartfelt thanks to the Commission, the staff at all  
23 levels that we've engaged with on this over the last  
24 actually probably two-and-a-half years. And the  
25 Commissioners as well that we've had a chance to engage

1 with.

2           The approach that we've used is a departure from  
3 typical approaches, the typical approaches that really  
4 hadn't worked in the multi-family sector. And we've spent,  
5 now it's been four years really determining the market  
6 failures in multi-family and designing an approach that  
7 could be used to overcome those market barriers.

8           And we did some early pilot testing through  
9 contracts with CCAs. And brought that information to staff  
10 as an innovative approach to delivering charging for  
11 multi-family, and particularly for affordable ways to keep  
12 the prices low for the drivers. And to make it easily  
13 adoptable for the property owners who are the major  
14 stakeholders in the ones where the major barrier and the  
15 market failure had been. So just really have appreciated  
16 the openness and of the team, top to bottom, on this.

17           And it I guess I would just say that the  
18 Commission's investment here will focus a lot on the  
19 Central Valley, 50 percent of the money and the chargers  
20 will be going to Central Valley. And this approach that  
21 we've provided is based off of our 20 years of working and  
22 energy efficiency, using what's called the direct  
23 installation model. And we believe that it'll play out and  
24 be very successful. And we'll hope to see more and more  
25 investment by utilities and others in this same model.

1           So thank you for that. I'm happy to answer any  
2 questions about it.

3           CHAIR HOCHSCHILD: Thank you.

4           Any other public comments on Item 8?

5           MS. MURIMI: Yes, Chair. We have James Russell.

6 James, your line is unmuted. Please state and spell your  
7 name, give your affiliation. You may begin your comment.

8 And you may need to unmute on your end. That's James  
9 Russell, James Russell.

10          MR. RUSSELL: Ah, there we go. Hello, my name is

11 James Russell, J-A-M-E-S R-U-S-S-E-L-L. I'm the Director  
12 of CLEAResult's Transportation Electrification Practice.

13 And I work with CLEAResult's passionate team of more than  
14 90 employees here in California. CLEAResult is a national

15 company but we have decades of success delivering clean  
16 energy programs and services in California. We're very

17 proud of our role contributing to energy innovation here,  
18 as well as our capacity to then scale up those services,

19 both in California and ultimately throughout the nation.

20          We have been working with utilities and Community

21 Choice Aggregators in California to provide technical

22 assistance for EV charging projects for several years,

23 focusing primarily on hard to reach and underserved

24 segments particularly in multi-family. From that work we

25 have a strong appreciation for the challenges that multi-



1 family residents and property owners face, which led us to  
2 developing this highly scalable model for charging at  
3 multi-family properties, which also future-proofs each site  
4 we touch to ensure that demand for charging can be met well  
5 into a future where zero-emission vehicle adoption becomes  
6 widespread.

7           As was mentioned at the presentation our project  
8 will support the daily needs of charging of we estimate  
9 more than 300 current and future multi-family households in  
10 northern California, significantly improving those  
11 residents access to clean mobility.

12           I want to thank you very sincerely. Thank you to  
13 the Commission for creating this opportunity and to  
14 specialist Kristi Villareal for all of your support of this  
15 exciting effort.

16           MS. MURIMI: Thank you. Next we have Josh Rasin.  
17 Josh, you may begin your comment. Please state and spell  
18 your name and give your affiliation.

19           MR. RASIN: Hi, thank you. Josh Rasin, J-O-S-H  
20 R-A-S-I-N, a Supervisor of Emerging Technologies with SMUD.  
21 And I'd just like to thank the Commission for their REACH  
22 grant award on behalf of SMUD.

23           SMUD is in a leadership position to help advance  
24 transportation electrification through our experiences with  
25 both infrastructure deployment and providing access to

1 electric vehicles. This grant money specifically will  
2 allow SMUD to expand and accelerate our plans to deploy EV  
3 charging infrastructure, as well as bringing electric  
4 vehicles to underserved and under-resourced communities in  
5 Sacramento, while hopefully creating a technology and  
6 business model that we expect will benefit the industry and  
7 society at large. So we're very much looking forward to  
8 deploying this technology and this this project, and we  
9 really appreciate the award. Thank you.

10 MS. MURIMI: Thank you.

11 And with that, Chair, there are no more comments,  
12 back to you.

13 CHAIR HOCHSCHILD: Well, great. Thank you so  
14 much, thunderous approval from my side on this set of  
15 grants. And I just want to thank Kristi and the whole team  
16 and all the stakeholders. And urge you guys to move as  
17 swiftly as possible to get this infrastructure deployed.  
18 We need it. Charging is the big barrier now we've got to  
19 overcome. So thank you to all.

20 Unless there are further comments from my  
21 colleagues. I'd welcome a motion from Vice Chair Gunda on  
22 Item 8.

23 VICE CHAIR GUNDA: I move Item 8.

24 CHAIR HOCHSCHILD: Commissioner Vaccaro, would  
25 you be willing to second?

1 COMMISSIONER VACCARO: Yes, I second.

2 CHAIR HOCHSCHILD: All in favor say aye.

3 Vice Chair Gunda?

4 VICE CHAIR GUNDA: Aye.

5 CHAIR HOCHSCHILD: Commissioner Vaccaro?

6 COMMISSIONER VACCARO: Aye.

7 CHAIR HOCHSCHILD: And I vote aye as well, Item 8  
8 passes 3-0. Thank you Kristi and the team. And good luck  
9 to all.

10 MS. VILLAREAL: Thank you.

11 CHAIR HOCHSCHILD: We'll turn now to Item 9,  
12 Lumen Energy Strategy. I welcome Katelynn to present.

13 MS. DINIUS: Good morning Chair and  
14 Commissioners. My name is Katelynn Dinius and I work on  
15 the transportation team in the Energy Research and  
16 Development Division. Today, I am presenting two final  
17 recommended awards from the EPIC solicitation Vehicle-to-  
18 Building Technologies for Resilient Backup Power. Next  
19 slide.

20 The proposed awards will benefit Californians by  
21 advancing products and pathways that enable electric  
22 vehicles to provide backup power at competitive costs  
23 compared to conventional solutions like fossil fuel  
24 generators or stationary storage. The bidirectional  
25 charging technologies being demonstrated can enhance

1 customer resilience by supporting critical loads during  
2 grid outages. Using electric vehicles to replace fossil-  
3 fueled backup generators can reduce harmful greenhouse gas  
4 and criteria pollutant emissions, providing environmental  
5 and public health benefits.

6 Bidirectional charging technologies can also  
7 increase the benefits of electric vehicle adoption, not  
8 only providing drivers with clean mobility but also  
9 enabling electric services like clean backup generation.  
10 Next slide.

11 In the first proposed project Center for  
12 Transportation and the Environment will partner with  
13 electric transit bus manufacturer, New Flyer Industries, to  
14 advance and demonstrate bus exportable power systems, which  
15 can discharge energy stored on battery and fuel cell  
16 electric buses to buildings or critical loads. New Flyer  
17 intends to develop this technology into a commercial  
18 product for its electric bus platforms.

19 Compared to an equivalent stationary energy  
20 storage solution the bus exportable power system can  
21 deliver the same backup power capability at 50 percent of  
22 the cost. The project will conduct a first-of-its-kind  
23 demonstration using electric transit buses to support  
24 critical HVAC and air filtration loads at the West Oakland  
25 Public Library and critical operation and service loads at

1 the AC Transit's bus yard.

2           The project will work with the community-based  
3 organization West Oakland Environmental Indicators Project  
4 to incorporate the capabilities of the bus exportable power  
5 system into their community resilience planning, using it  
6 to help mitigate the impacts of natural disasters, wildfire  
7 smoke, and extreme heat.

8           The California Air Resources Board estimates  
9 there are approximately 11,500 transit buses operating in  
10 California that will need to transition to zero-emission by  
11 2040 to meet our state climate goals. Although the project  
12 focuses on vehicle-to-building and back-up power use cases,  
13 if all 11,500 transit buses in this state were capable of  
14 discharging to the grid through a dedicated 125-kilowatt  
15 bidirectional charger, combined they would represent 1.4  
16 gigawatts of flexible capacity that could support the grid  
17 during times of peak demand. Next slide.

18           In the second proposed project Andromeda Power  
19 will develop and test an integrated powertrain system for  
20 light-duty electric vehicles that enables AC bidirectional  
21 charging. The top figure illustrates how DC bidirectional  
22 charging is done today.

23           To safely discharge electricity from EVs to the  
24 grid or to a building, costly off-vehicle equipment is  
25 required and limits widespread adoption. The bottom figure

1 shows how Andromeda Power's integrated powertrain system  
2 can enable AC bidirectional charging at an up to 70 percent  
3 lower cost compared to today's DC pathways. This cost  
4 reduction can be achieved by modifying the vehicle's  
5 existing motor and electronics that otherwise sit idle  
6 during charging.

7           The modifications enable these existing  
8 components to provide safe power conversion in place of  
9 off-vehicle equipment, reducing infrastructure complexity  
10 while enabling more cost-effective vehicle-to-building  
11 back-up power and vehicle-to-grid use cases. Next slide.

12           Staff recommends approval of these grant awards  
13 and adoption of staff's determination that these projects  
14 are exempt from CEQA. I'm available for any questions as  
15 are representatives from Center for Transportation and the  
16 Environment and Andromeda Power. Thank you and that  
17 concludes my presentation.

18           CHAIR HOCHSCHILD: Thank you, Katelynn. Before  
19 we go to public comment can I just clarify the point you  
20 just made? You said 1.4 gigs of capacity that represents  
21 the electric buses that are today in circulation? What are  
22 you basing that number off of?

23           MS. DINIUS: That would be if all transit buses  
24 in California were zero-emission and (indiscernible)  
25 bidirectional capable.

1 CHAIR HOCHSCHILD: I got it. So if every transit  
2 bus converts to electric and had bidirectional we would get  
3 1.4 gigs. Okay, that's helpful. Thank you.

4 We'll turn now to public comment on Item 9.

5 MS. MURIMI: Thank you, Chair.

6 Once again, for individuals that are on Zoom go  
7 ahead and use the raised-hand feature to indicate that  
8 you'd like to make a comment, you can find it at the bottom  
9 of your screen. And for those calling in press \*9 to  
10 indicate that you'd like to make a comment and \*6 to unmute  
11 on your end. Giving that one moment. Again, use the  
12 raised-hand feature if you'd like to make a comment. And if  
13 you're calling in press \*9.

14 Seeing no raised hands, Chair, back to you.

15 CHAIR HOCHSCHILD: Okay. Just again, thunderous,  
16 thunderous support for this, so needed. And we will be so  
17 much better off as a state when this kind of infrastructure  
18 is deployed.

19 MS. MURIMI: Apologies.

20 CHAIR HOCHSCHILD: And sorry, Dorothy, was there  
21 someone wishing to make a comment?

22 MS. MURIMI: Yes. Apologies, Chair, it just came  
23 in. Yeah.

24 CHAIR HOCHSCHILD: Okay. Let's go ahead and take  
25 that comment then.

1 MS. MURIMI: We have Olga Gomez. Go ahead and  
2 unmute on your end, you may give your comment.

3 MS. GOMEZ: [Greeting in Rumsen] My name is  
4 Tinker, okay. I'm hearing about the things with the whole  
5 thing with not being the, how do you say, the nontoxic all  
6 this with what she was talking about and sharing with the  
7 vehicles and all this and that. But my thing is, and my  
8 question is on the lithium mining, the lithium mining  
9 itself being toxic or not? Toxic or not to the  
10 environmental, to the soil, water, all these things that  
11 come along with mining, with extraction of lithium. So  
12 those are my kind of questions.

13 And I'm coming also from like I said, I'm Tribal  
14 Council of the Costanoan Rumsen Carmel Tribe. And these  
15 are kind of my questions and my comments I'd like to make.  
16 Because I know lithium extraction is a lot of chemicals  
17 that are involved with that. A lot of chemicals go  
18 underground, to pumped underground. So it does, to me, I  
19 feel it does affect a lot of the air quality. It affects  
20 the soil, it affects water. But I'm not hearing any of  
21 that. I'm just hearing all the good about what the outcome  
22 is with vehicles with all these things. But I'm not  
23 hearing, and we're not hearing nothing on the impact of  
24 anything else. [Rumsen language.]

25 CHAIR HOCHSCHILD: Yeah, I think I can respond



1 just briefly to that. I mean, obviously in California half  
2 of our air pollution comes from transportation, and that's  
3 a huge concern particularly for low-income communities,  
4 which is part of the reason why there's such a big focus on  
5 zero-emission transportation. And the issues you're  
6 describing are also a big concern for fossil fuel  
7 extraction, both oil and natural gas.

8           The lithium in California is really not mining.  
9 There is no hard rock mining for lithium in California.  
10 It's in a geothermal, superheated brine reserve which is by  
11 far the greatest way to produce lithium in the world.  
12 There's very significant impacts if it's just from hard  
13 rock mining and from the evaporation ponds you see in Chile  
14 and Argentina.

15           And one of the things that's compelling to me  
16 about the lithium recovery in the Salton Sea is it's a  
17 much, much greener process. Having said that there are  
18 environmental impacts for every form of energy generation,  
19 including electric vehicles, including lithium, and even  
20 including this process. But relative to the other forms  
21 it's much greener. It's something I think we should do  
22 more of a sort of focused public workshop on to get into  
23 those questions.

24           But Dorothy, do we have any other comments on  
25 Item 9?

1 MS. MURIMI: Thank you, Chair. No. No more  
2 comments on Item 9, back to you.

3 CHAIR HOCHSCHILD: Unless there is Commissioner  
4 comments I'd welcome a motion from Vice Chair Gunda on Item  
5 9.

6 VICE CHAIR GUNDA: I move Item 9.

7 CHAIR HOCHSCHILD: Is there a second from  
8 Commissioner Vaccaro?

9 COMMISSIONER VACCARO: Second.

10 CHAIR HOCHSCHILD: Okay. All in favor say aye.  
11 Vice Chair Gunda?

12 VICE CHAIR GUNDA: Aye.

13 CHAIR HOCHSCHILD: Commissioner Vaccaro?

14 COMMISSIONER VACCARO: Aye.

15 CHAIR HOCHSCHILD: And I vote aye as well, Item 9  
16 passes 3-0.

17 We'll turn now to Item 10, Minutes from the  
18 August 10 Business Meeting. I believe I was supposed to  
19 make an announcement on that. Linda Barrera, what was it  
20 you wanted me to say?

21 MS. BARRERA: That we're proposing to just move  
22 to the August 10<sup>th</sup> business meeting, not the July 13th as  
23 shown in the agenda.

24 CHAIR HOCHSCHILD: Okay, so we're just approving  
25 the August 10<sup>th</sup> Business Meeting Minutes. Are there any

81

1 public comments on that Dorothy?

2 MS. MURIMI: Thank you, Chair. I'll make an  
3 announcement again. for individuals that are on Zoom who  
4 would like to make a comment use the raised-hand feature.  
5 And if you're calling in press \*9. Again, this is for Item  
6 10, the August 10<sup>th</sup> Business Meeting Minutes.

7 Seeing no raised hands, Chair, back to you.

8 CHAIR HOCHSCHILD: Okay. Is there a motion from  
9 Vice Chair Gunda on Item 10?

10 VICE CHAIR GUNDA: Yes, I move Item 10 for  
11 approval.

12 CHAIR HOCHSCHILD: Is there a second from  
13 Commissioner Vaccaro?

14 COMMISSIONER VACCARO: Second.

15 CHAIR HOCHSCHILD: All in favor say aye.  
16 Vice Chair Gunda?

17 VICE CHAIR GUNDA: Aye.

18 CHAIR HOCHSCHILD: Commissioner Vaccaro?

19 COMMISSIONER VACCARO: Aye.

20 CHAIR HOCHSCHILD: And I vote aye as well, Item  
21 10 passes 3-0.

22 We'll turn now to Item 11, Lead Commissioner,  
23 Presiding Member Reports. Let's begin with Vice Chair  
24 Gunda.

25 VICE CHAIR GUNDA: Thank you, Chair. I just

1 wanted to point a couple of things. In the Consent  
2 Calendar we've approved one item on hydrogen. So I just  
3 wanted to congratulate all the staff who have been working  
4 tirelessly on that.

5 I want to call out the UCLA and UC Irvine  
6 investments and their focus on hydrogen.

7 Given that the IEPR has a focus on hydrogen, I  
8 wanted to just kind of lay out a couple of things. Looking  
9 at equity that's inclusive of workforce development and  
10 certainty, certainly relevant for thinking about a just  
11 transition, I think the existing gas pipeline workforce and  
12 the blending really is an important topic to follow through  
13 and understand and the implications of it.

14 The other thing is CARB's Draft Scoping Plan  
15 indicates that hydrogen blending could play an important  
16 role, specifically for hard-to-electrify end users and as a  
17 complement to cross-sector electrification. So given those  
18 important elements, I think it's an important project. And  
19 I just wanted to highlight that I'm looking forward to  
20 those projects.

21 I want to give a shout-out to UC Irvine who have  
22 been a longtime leader in hydrogen research, so happy to  
23 see that there and I'm supporting a symposium that they're  
24 putting on. I understand that the UCLA project is going to  
25 be doing important lab scale testing, that will research up

1 an even higher and more aggressive 100 percent injection of  
2 hydrogen into the gas infrastructure. So I just wanted to  
3 note the importance of these projects and wanting to raise  
4 support of them.

5 The second element I wanted to talk through is we  
6 had an IEPR workshop on equity, the third in the last  
7 regional workshop, which was really great. But you know we  
8 had to miss out, a few of us, because of the reliability  
9 concern.

10 Chair you already mentioned this, September is  
11 based on the early indication, September was the highest  
12 and longest heatwave that California has experienced. And  
13 as the Chair mentioned, we were almost on track to hit  
14 53,000 megawatts last Tuesday. We ended up being around  
15 52,000 because of some of the demand-side dispatch that  
16 we've seen. So it was an extraordinary, extraordinary  
17 event.

18 Just to put it in kind of the level of planning  
19 and how it goes. We were expecting a 44,500 megawatts  
20 September peak, and we got up to 52,000. That's over 7,000  
21 megawatts, really looking at about a 15-16 percent  
22 departure from an expected forecast. That is not what we  
23 planned for. And if not for the incredible mobilization  
24 out of the Governor's Office and all the state efforts and  
25 incredible team at CEC we wouldn't have gotten through

1 that.

2           So I just wanted to thank and congratulate all  
3 the staff who have tirelessly worked on that. Especially  
4 the Renewable Division, under the leadership of Deana, was  
5 able to stand up our DSGS program, the Demand Side Grid  
6 Support program, very, very quickly and able to bring in  
7 almost 300 megawatts of support to the grid over those nine  
8 days.

9           There's a lot of people to thank. Given the time  
10 we have today I'm going to do an informational item, maybe  
11 at the next business meeting on the event, but I just  
12 wanted to thank all the team that has been involved. I'll  
13 call out a few people: Deana Carrillo, Ashley from  
14 Renewables, Guadalupe Corona, Lisa DeCarlo, David Erne, Ben  
15 Finkler. All of them were instrumental in making DSGS  
16 launch, so thank you all.

17           CHAIR HOCHSCHILD: Just I'm really glad -- well,  
18 first of all, congratulations and thank you for all the  
19 incredible work. But I would really welcome an  
20 informational item presentation on this from you on the  
21 next business meeting to just walk through the different  
22 elements how we were able to keep the lights on under such  
23 incredible duress, it'd be really helpful.

24           Let's go to Commissioner Vaccaro.

25           COMMISSIONER VACCARO: Yeah, thank you. So I'll

1 just keep this brief. So the first thing I wanted to  
2 mention is that last week I had the honor of testifying as  
3 a witness for a House of Representatives field hearing in  
4 Morro Bay on offshore wind energy development. It was  
5 really sort of a look at opportunities and challenges just  
6 a tremendous witness grouping that they have. There are  
7 four panels, I was on one. Again, it was my honor to be  
8 able to just support our efforts and to listen and learn.  
9 So it was Congresspersons Conway, Stauber, Panetta,  
10 Lowenthal, and Carbajal who presided over that.

11           And I just think it's really important the  
12 attention that's being paid to the efforts here in  
13 California, especially as we are preparing for the first-  
14 ever offshore wind lease sale this fall. We have  
15 assurances from the Bureau of Ocean Energy Management that  
16 that's still expected to happen in 2022, and we're gearing  
17 up for that.

18           So a segue, and that is related to offshore wind,  
19 is that we are gearing up for Energy Commission staff to  
20 have a workshop in early October. I think we're looking  
21 somewhere around October 6th, just to provide some  
22 transparency around the Assembly Bill 525 work that we're  
23 doing so many things. It was Herculean that we got the  
24 planning goals adopted mid-August. But there's still so  
25 much work to be done to meet the requirements of Assembly

1 Bill 525. So it's to provide that transparency, as well as  
2 to allow stakeholders and others to provide some input as  
3 we move forward on the next two deliverables which are two  
4 reports that are due in December of this year.

5 And then finally, this isn't to report out on my  
6 activities or my lead Commissioner areas so much as just a  
7 recognition of Shawn Pittard I understand this is his last  
8 Energy Commission business meeting.

9 Chair, you already welcomed Elizabeth, we're so  
10 thrilled for her. And I am sad though to see Shawn Pittard  
11 go. He's really showed tremendous leadership in his time  
12 as a Director over STEP. He brings an integrity,  
13 transparency in his process, he builds team, and he builds  
14 morale; really seen the transformation in the STEP  
15 Division. Over the years I've worked with him in my role  
16 as Commissioner, as Advisor to former Commissioner Douglas,  
17 and then in my former role as the Chief Counsel. So I just  
18 really wanted to recognize and uplift all of the tremendous  
19 work that Shawn has done in his time here at the  
20 Commission. He is truly a public servant who needs to be  
21 recognized for his tremendous work. And that's it for me.  
22 Thank you.

23 CHAIR HOCHSCHILD: Thank you so much,  
24 Commissioner. I know all of us on the Commission, Vice  
25 Chair Gunda, Commissioner McAllister, and Commissioner



1 Monahan join you in those words of thanks and recognition  
2 for Shawn. Thank you for an incredible career at CEC and  
3 we wish you the best of luck.

4 I did want to say a few more things just on the  
5 grid challenge we had last week. This was an all-hands-on-  
6 deck event. And I do want to highlight the actions that  
7 the Energy Commission took, really, were instrumental in  
8 keeping the lights on. And it's everything from the Demand  
9 Response Program, which we approved in July, and got 250  
10 megawatts out of that just in a matter of weeks. To all  
11 the investments we've made in energy storage where we now  
12 have increased by 15x the amount of energy storage on the  
13 grid since 2019; from 200 megawatts to 3300 megawatts,  
14 enroute to 15,000 megawatts by the end of the decade.

15 And all that work on energy storage, investment,  
16 and research fed into that. To all the conservation  
17 efforts, and that goes to the staff and the Commissioners,  
18 urging their friends and colleagues to conserve. We needed  
19 all of that. And I view this as one of our biggest tests  
20 and a test that we passed successfully keeping the lights  
21 on in a heat event that was more severe than the one we  
22 experienced in August 2020 when we did have outages for  
23 those two nights. So just an incredible effort.

24 And this buys us time. I do believe we're in  
25 good shape for the next year. And now we can add a bunch of

1 new clean resources to better support the grid. I think  
2 all together it's 5 gigawatts that are supposed to come  
3 online in the next year, so we'll have more cushion. But I  
4 just wanted to recognize the incredible team effort that  
5 went into that last week.

6           The only update I wanted to share was that I  
7 spent last week in Washington DC with Mike Gravelly visiting  
8 with the Department of Defense on a bunch of projects we're  
9 working on for a new clean energy demonstration. And with  
10 the Department of Energy, which now has almost \$100 billion  
11 to push out the door to the states, about two-thirds of  
12 that is from the Infrastructure Bill, a third from the IRA.  
13 And so we're going to be applying for a bunch of that money  
14 to support grid resilience and storage and a bunch of other  
15 good stuff.

16           And I want to recognize Jennifer Martin-Gallardo  
17 for all her work to get us organized with respect to those  
18 federal grants and the EPIC team and others who are getting  
19 ready to bring, put as much of that money as we can to  
20 work.

21           I think I will stop there. And we'll turn now to  
22 Item 12, Executive Director's Report.

23           MR. BOHAN: Thank you, Chair. Is my audio  
24 working?

25           CHAIR HOCHSCHILD: Yeah, it is.

1           MR. BOHAN: Good, good. All right, we're towards  
2 the end of the meeting, so I want to move quickly. I'll  
3 talk next time about the efforts we're making to streamline  
4 the business meetings a bit. You saw some of that today.  
5 I'll talk about that at the next meeting.

6           Also the \$10.5 billion that the Energy Commission  
7 is slated to get now between the State Budget and pardon me  
8 IGA and the IRA, we want to talk -- I'll do that at the  
9 next Director's Report -- about how that is going to impact  
10 the organization and some of what we're thinking about.

11           I also want to thank the team as Vice Chair did  
12 for the incredible effort. As California and stepped up  
13 across the state, so did our team. And it's odd to  
14 acknowledge your boss but I want to say the Vice Chair's  
15 leadership was both inspiring and keeping everybody on  
16 task. So it was it was he who helped us through it.

17           And then finally, I also want to give a shout-out  
18 to Shawn and reflect and agree with all the comments,  
19 Courtney, you made which I thought were really heartfelt  
20 and a very accurate description of Shawn. He led the  
21 Division through a significant transformation. We used to  
22 cite power plants and that was most of what the job was.  
23 And he took a division and shifted it completely into a new  
24 entity.

25           And Elizabeth, I want to welcome. She inherits

1 that Division that Shawn was instrumental in building. And  
2 I want to wish you all the best in retirement. So thank  
3 you.

4 CHAIR HOCHSCHILD: Thank you so much. We'll turn  
5 now to Item 13, Public Advisor's Report.

6 MS. MURIMI: Hello Chair. The Public Advisor's  
7 Office has nothing to report at this time.

8 CHAIR HOCHSCHILD: Okay, thank you, we'll turn to  
9 item 14 Public comment.

10 MS. MURIMI: Thank you, Chair.

11 So this is the period for any person wishing to  
12 make comment on information items or reports on the meeting  
13 agenda or any other items. Each person has up to three  
14 minutes to comment and comments are limited to one  
15 representative per organization. We may reduce the comment  
16 time depending on the number of commenters.

17 If you are called on please restate and spell  
18 your first and last names, state your affiliation if.  
19 Attendees use the raised-hand icon to indicate that you'd  
20 like to make a comment. We will unmute your line, and make  
21 sure on your end you are unmuted. If you're on the phone  
22 press \*9 to raise your hand and \*6 to unmute on your end.  
23 Do not use the speakerphone feature, it will make it  
24 difficult for us to hear.

25 All right we'll start with Jin Noh. Your line is

91

1 unmuted. Please state and spell your name, you may begin.

2 MR. NOH: Hi. Good morning Chair Hochschild and  
3 Commissioners. My name is Jinn Noh, J-I-N, last name N-O-  
4 H, and I'm the Policy Director for the California Energy  
5 Storage Alliance, CESA. And I just wanted to offer some  
6 brief comments on Agenda Item 4 for non-lithium-ion energy  
7 storage technologies and the informational update provided  
8 by Mike Gravely.

9 I wanted to start off commending Mike and his  
10 team for the significant achievements made in investing in  
11 long duration energy storage, R&D demonstrations through  
12 the EPIC program. I think there's been many strides made  
13 there and hope to see the fruits of those investments in  
14 the coming years as they advance to commercialization.

15 I wanted to also briefly touch on the \$140  
16 million that were approved and allocated in the 2022-2023  
17 State Budget by AB 205, which is intended to support the  
18 commercialization of non-lithium, long duration storage  
19 technologies.

20 We here at CESA really view that as a once-in-a-  
21 lifetime opportunity to make a difference in  
22 commercializing these technologies, but also to really  
23 support mid- and long-term reliability. We think a key way  
24 to commercialize an emerging technology is to develop them  
25 for a grid-connected purpose and develop that operational

1 track record, so that it demonstrates the ability to  
2 interconnect, integrate into the ISO market and meet real  
3 grid obligations. And California happens to also have a  
4 '26-'28 procurement obligation for 1000 megawatts of these  
5 resources. And so we could really use all the capacity that  
6 we can get to support known capacity constraints in the  
7 face of extreme weather events and to facilitate the  
8 transition away from Diablo Canyon and fossil-fuel  
9 generation.

10           And so I'm hoping that as the program, under  
11 which the \$140 million is designed and opened for  
12 solicitation, that it is designed to solicit a range of  
13 technology types, sizes, use cases, and accommodates  
14 different commercialization needs and strategies. Because  
15 by the nature of the technology, or project, or as a result  
16 of different levels of maturity there may be valid reasons  
17 for projects pursuing different commercialization paths  
18 where some could be supported through incremental  
19 deployments over time, which may be more apt for modular  
20 technologies versus others that require larger project  
21 sizes.

22           And we've surveyed a lot of our members, hearing  
23 a diverse range of perspectives, and we're in the process  
24 of collecting and aggregating this information. But I  
25 really do think the program could be designed in a way to

1 construct a large portfolio of these long duration storage  
2 technologies. And that really maximize the total megawatt  
3 impact that can be funded and supported where this \$140  
4 million could really be stretched to support 100 megawatts  
5 worth of projects, and more if we get more funding from the  
6 Legislature next year to help cover the missing money cut.  
7 Thank you.

8 MS. MURIMI: Thank you.

9 Next we have Ms. Steff. That's M-S S-T-E-F-F.  
10 Your line is unmuted. Please state and spell your name,  
11 give your affiliation. You may begin.

12 MS. SAAVEDRA: My name is Stephanie Saavedra, S-  
13 T-E-P-H-A-N-I-E S-A-A-V-E-D-R-A. I am (indiscernible) and  
14 I've worked with a lot of tribes in the area. This is in  
15 regards to the lithium project of course. My concern is  
16 how much water is going to be diverted from California,  
17 Arizona and Nevada and Mexico to the actual lithium  
18 project? I've done some research and I believe it's  
19 500,000 gallons to one unit of lithium. I'm not really sure  
20 exactly how efficient that is? That's one of my questions.

21 But I also have some other questions. In regards  
22 to any -- I understand that it's an experimental type of  
23 extraction that involves sorbent beads, and I believe  
24 there's going to be some drying ponds. And it would just  
25 be nice to know, or for the public to actually know, a lot

94

1 of the details about this particular project.

2           And when the California Energy Commission says  
3 that they're going to streamline the project, what does  
4 this mean? Is there still going to be environmental?  
5 Who's going to be in charge of making sure that the air,  
6 water, soil, and even the tribes in the area are going to  
7 be safe? Because according to the California Air Resources  
8 Board there's a type of testing for the air, and they call  
9 it some type of tube (phonetic), but it takes two weeks to  
10 actually get the results. So in the process of these two  
11 weeks is the public even safe? What type of safety  
12 procedures are in place?

13           There's quite a bit more questions. It's going  
14 to actually disrupt the water cycle and migratory birds.  
15 Just we, the public at large, would like to know more  
16 information about this particular project. We're in a  
17 drought. And we'd like to make sure that our water is  
18 ensured. There would probably be a rate increase. What is  
19 that rate increase? I mean, yes, lithium is a good thing,  
20 but as discussed by even Peter Dailey that zinc is far more  
21 efficient.

22           So if you folks can please help me to understand  
23 some of these various questions that would be great.

24           MS. MURIMI: Thank you.

25           Next we have Pascha. Please state and spell your



1 name. Give your affiliation, if any. And last name  
2 Nierenhausen, apologies if I have misstated your name.  
3 Please unmute on your end and you may begin your comment.  
4 That is Pascha, P-A-S-C-H-A, Nierenhausen.

5 MS. NIERENHAUSEN: Hello?

6 MS. MURIMI: Hello. We can hear you now.

7 MS. NIERENHAUSEN: Thank you for the public  
8 comments. My name is Pascha. P as in Paul A-S-C-H-A  
9 Nierenhausen, N-I-E-R-E-N-H-A-U-S-E-N from the Quechan  
10 Tribe.

11 I'm asking about Agenda 12, Item Number 12. You  
12 were discussing the matters of the megawatts and it was at  
13 its highest peak this past week. And I do believe it  
14 affected way down here in Winterhaven, California, and in  
15 Imperial County. Are you able to identify where those  
16 megawatts came from? Did they come from a lithium project?  
17 Maybe a Sonoran lithium project? How were those megawatts  
18 generated?

19 And it was pretty hot down here for Imperial  
20 County and for the Quechan tribe. And we were told that  
21 there was going to be a possible hurricane. And you were  
22 saying that the energy was not shut off, approximately at  
23 the same time you were saying that it was at its highest  
24 peak with the megawatts.

25 On the megawatts, are the people afforded any

1 type of public resource to understand what the megawatts  
2 are? And if I'm understanding that the megawatts are going  
3 to go higher, are the people afforded to know what the  
4 megawatts means in the heat?

5 And for my tribe we lost a lot of people from  
6 that heat, so I'm just a little concerned. And I'm just  
7 publicly asking will we, the public, people of California  
8 be afforded to know and understand what megawatts is for  
9 these types of projects and programs happening? Thank you.

10 MS. MURIMI: Thank you for your comment.

11 Next, we have Will Mao. Please state and spell  
12 your name, give your affiliation if any. Your line is  
13 unmuted.

14 MR. MAO: Hi, can you hear me now?

15 MS. MURIMI: Yes, we can.

16 MR. MAO: Okay, thank you counsel. Thank you  
17 (indiscernible). My name is Will Mao. It's W-I-L-L M-A-O.  
18 And I represent Eos Energy Enterprises. So on behalf of  
19 Eos Energy Enterprise we're honored and pleased to be  
20 selected for these grants.

21 We were founded back in 2008. And the sole  
22 purpose is to develop a non-lithium, long duration storage.  
23 As you heard earlier from Mr. Mike Gravely and also Dr.  
24 Gyuk and also Mr. Pete Bailey we're one of the few  
25 companies that has commercialized a zinc-bromine

1 technology. This is designed for long duration. And we're  
2 100 percent manufactured here in the United States and our  
3 batteries are 100 percent recycled. So I'm actually  
4 calling from our factory here in the southeast Pittsburgh  
5 area as of today.

6 So once again, thank you for the opportunity. We  
7 look to serve California energy needs for many, many years  
8 to come. Thank you.

9 MS. MURIMI: Thank you for your comment.

10 Once again, for individuals, if you have any  
11 questions feel free to reach out to the Public Advisor's  
12 Office at [publicadvisor@energy.ca.gov](mailto:publicadvisor@energy.ca.gov).

13 Chair, there are no more comments. I'll hand the  
14 mic back to you.

15 CHAIR HOCHSCHILD: Thank you. Well, I heard a  
16 couple of questions in there. I would request the Public  
17 Advisor's Office respond individually to the questions. I  
18 think one of them was about what is the portfolio of energy  
19 and where are the megawatts coming from? It's roughly 60  
20 percent are from carbon-free sources, and we can get that  
21 breakdown to you.

22 And so, Dorothy, if you wouldn't mind responding  
23 to those members of public who had specific questions.

24 And then at some point, Commissioner Vaccaro, I  
25 think it would be great to work together on some sort of

1 public forum to better illuminate the process being used in  
2 the Salton Sea for lithium recovery from the geothermal  
3 brine and what's involved with that, how it differs from  
4 hard rock mining, how it differs from evaporation ponds in  
5 South America. I think there's been a lot of interest in  
6 that, so maybe we can figure out how to better eliminate  
7 that.

8 With that, let's turn to Item 15, Chief Counsel's  
9 Report.

10 MS. BARRERA: I'm raising my volume, there's  
11 nothing to report at this business meeting.

12 CHAIR HOCHSCHILD: Okay, thank you. Is that it?  
13 I think we are adjourned.

14 Dorothy, is there anything else that we need?

15 MS. MURIMI: No, Chair. There is nothing more on  
16 the agenda.

17 CHAIR HOCHSCHILD: Okay. Thank you everyone. We  
18 are adjourned.

19 (The Business Meeting adjourned at 12:14 p.m.)  
20  
21  
22  
23  
24  
25


**REPORTER' S CERTIFICATE**

1

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 23rd day of September, 2022.



---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 23rd day of September, 2022.



---

Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852