

DOCKETED	
Docket Number:	22-DECARB-02
Project Title:	Building Decarbonization and Electric Vehicle Charging Equipment Web Guide
TN #:	246350
Document Title:	Transcript 8-30-22 for Development of the Building Decarbonization and Electric Vehicle Charging Equipment Website Workshop
Description:	Recording Transcript from 8/30/22 Staff Workshop
Filer:	Robert Ridgley
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/5/2022 2:52:06 PM
Docketed Date:	10/5/2022

BEFORE THE
CALIFORNIA ENERGY COMMISSION

STAFF WORKSHOP

In the matter of,)	
)	
Senate Bill 68 (2021, Becker),)	Docket No.22-DECARB-02
Electrification and Electric)	
Vehicle Charging Equipment)	
Website Workshop)	

REMOTE VIA ZOOM VIRTUAL MEETING

TUESDAY, AUGUST 30, 2022

10:00 A.M.

Reported By:
Elise Hicks

APPEARANCES

Commissioners

Andrew McAllister, Commissioner

Staff

Amber Pasricha Beck
Eddie Rosales
Dorothy Murimi, Public Advisor

Moderators

Heriberto Rosales
Gabriel Taylor

Panelists

Josie Gaillard, Building Electrification Specialist
Tom Kabat, Building Electrification Specialist
Joseph Wachunas
Paul Nijssen, EVCharge4U
Hannah Bruegmann, Build it Green
Karen Kristiansson, BayREN
Dominique Lempereur, BlocPower
Erich Fleck, Building Decarbonization Coalition
Shelly Lyser, California Public Utilities Commission

Public Speakers

Randy Kim
Pat Burt, Mayor of Palo Alto
Enrique Rodriguez, Billing Standards Commission
Karl Johnson, Beyond Fire
Brennan Less, Lawrence Berkeley National Lab
Shelly Lyser, California Public Utilities Commission
Mehdi Ganji
Bruce Naegel
Cooper Marcus, Quitcarbon.com
Anne Arquit, Enervee
Tod O'Connor
Ralph DiNola, New Builds Institute

INDEX

	Page
Introduction: Heriberto Rosales, California Energy Commission	5
Opening Remarks: Commissioner Andrew McAllister California Energy Commission	6
Staff Presentation: Project Overview Heriberto Rosales, California Energy Commission	10
Panel #1: Devices, Appliances, and Equipment Moderated by Heriberto Rosales, CEC	19
Josie Gaillard and Tom Kabat, Building Electrification Specialists	20
Joseph Wachunas, New Buildings Institute Advanced Water Heating Initiative	34
Paul Nijssen, EVCharge4U	48
Hannah Bruegmann, Build It Green	
Discussion/Q&A	73
Public Comments	100
Lunch	104
Panel #2: Tools and Resources Moderated by Gabriel Taylor, CEC	105
Karen Kristiansson, BayREN	105
Dominique Lempereur, BlocPower	116
Erick Fleck, Building Decarbonization Coalition	126
Shelly Lyser, California Public Utilities Commission	134
Discussion/Q&A	147
Public Comments	173
Closing Remarks	176
Adjourn	177

1 P R O C E E D I N G S

2 August 30, 2022 10:03 A.M.

3 MR. ROSALES: Good morning, everybody.

4 Welcome to today's workshop on the Development of the
5 Building Decarbonization and Electric Vehicle Charging
6 Equipment Website, Required by the Senate Bill 68 from
7 2021. My name is Heriberto Rosales, you can call me
8 Eddie. I'm an Energy Specialist with the Existing
9 Building branch of the Efficiency Division here at the
10 Energy Commission. And I'm the project manager for this
11 project.

12 So, as we get started, just a couple virtual
13 housekeeping items. First, today's workshop is being
14 broadcast through Zoom, and all parties should be aware
15 that this public workshop is being recorded. This
16 includes your participation, and your comments that will
17 be posted onto the Zoom webcast. We'll post the full
18 video recording on the Energy Commission's website in a
19 couple days, and the written transcript of this workshop
20 will be up in about two to three weeks.

21 If there's any sort of building emergency
22 where you are physically located today, for example
23 there's an earthquake today, please evacuate your
24 building and get yourself to a safe area immediately.
25 This goes for everyone on today's call, both panelists

1 and attendees.

2 So, our presenters -- we do have a full agenda
3 today, so as a reminder I'm going to be letting you know
4 when you have three minutes left within your allotted
5 time. This is going to help us stay on track and keep
6 the panels and public comment period on schedule. For
7 all other attendees attending this workshop, including
8 stakeholders, at the end of each panel session we will
9 have an opportunity for you to provide comments or ask
10 questions. Depending on the number of parties
11 interested in speaking, we may limit live comments to
12 three minutes. Please be aware of that.

13 Attendees, please use Zoom use the Zoom raise-
14 hand function to let our public advisor know that you'd
15 like to make a comment during the public comment period.
16 Our recorder will notify you to be ready and open your
17 line at the appropriate time. For phone in only
18 participants, we'll open your line after hearing from
19 the in-person and written comments first. Please be
20 aware.

21 Access to all digitized material for this
22 meeting will be available on our project docket, 22-
23 DECARB-02. I'll go over some of that more in a minute.
24 On the project website, Building Decarbonization and
25 Electric Vehicle Charging Equipment Website Development.

1 Written comments for this workshop are due
2 Wednesday, September 14th. Lastly, the Energy Commission
3 is developing an Equity and Environmental Justice
4 Framework to guide future CEC activities. To
5 participate or follow this work, I encourage you to
6 attend tomorrow's workshop, California's Equity and
7 Energy Future Workshop, with a date of August 31st. You
8 can visit the CEC's advance page, and the CEC website
9 for more information.

10 Okay. Commissioner, with that, I'll turn it
11 over for you. Dave, can you turn off the slide? Thank
12 you.

13 COMMISSIONER MCALLISTER: Well great. Well
14 thanks, Eddie. So, really happy to be here. This is a
15 Staff Workshop, so I am listening in intently, like all
16 the attendees. First of all, I just want to thank the
17 Staff, Eddie, and all the attendees, and all the Staff
18 at the Energy Commission that are, you know, standing up
19 this, I think what's going to be a fundamental resource
20 for the state to help us achieve our decarbonization
21 goals. You know, particularly in buildings and in
22 transportation sectors as they transition to carbon-free
23 energy, which largely means electricity. And I think
24 facilitating the market evolution in that direction just
25 requires a lot of different activities.

1 But one of the most important activities is
2 making sure that the public has the information they
3 need to make decisions. You know, we live in a
4 democracy, everybody's working on their buildings,
5 everybody has real lives, and there's a real need for
6 actionable information that's easily accessible. And I
7 think that's what Senator Becker had in mind when he
8 authored and led the charge to get SB 68 signed into
9 law.

10 And so, really excited to be engaging in this
11 way. I think, you know, the Energy Commission
12 historically has done public outreach in a number of
13 different ways in support of all of our programs, but I
14 think this is a bit of a unique resource in that it
15 really is truly public-facing and is intended to sort of
16 really get a lot of eyeballs on it. Like really get
17 public engagement and facilitation across the spectrum
18 of the energy transformation. And so, these two sectors
19 are so important to get them moving in this direction.

20 Now, we are also lucky that we have you know,
21 new federal legislation in the Inflation Reduction Act.
22 And perhaps even more importantly, the state
23 conversation about the Governor Newsom's Climate
24 Package. And the sort of phase two of the budget
25 negotiations is happening, and you know, we're fortunate

1 in California to have resources to put into these
2 sectors.

3 You know, the ZEV package and the Building
4 Decarb package are significant resources. There are as
5 many resources, likely, as any state has ever put into
6 these sectors. And I think by a wide margin.

7 So, we're going to be relying on this resource
8 that we'll discuss today to help those funds and other
9 programs reach their intended audience, and really
10 facilitate the marketplace. And that's what we need.
11 We need people to make decisions, to install clean
12 technologies, those installations need to be done right,
13 and people need to go in understanding what these
14 projects actually look like. And so, this site, while
15 no website can touch everybody all the time, you know,
16 we're going to be looking to this as a place to put
17 resources that are actionable and that will get used.

18 And so, the discussion today really kicks off
19 I think, you know, the process to target what best
20 practices and really develop a distilled set of
21 resources that are going to be the highest value. And
22 so, really happy to be at this point, and again, want to
23 thank the Efficiency Division Staff, the Existing
24 Buildings team, Eddie, Gabe, and our Public Advisor's
25 office as well, Dorothy Murimi, I see that she's on, and

1 Amber Beck, who does a lot of our communications in this
2 realm. So, just a lot of staff. Jen Nelson, who leads
3 that office, thanks to all of you.

4 And, you know, perhaps -- well, definitely
5 most importantly, attendees. So, I see we have good
6 turnout this morning. And we're going to rely on the
7 panelists to sort of have a stimulating discussion. And
8 the attendees, you know, really want to encourage all of
9 you to submit, to comment today, and also to submit
10 comments on the docket.

11 The way we do things at the Energy Commission
12 is by developing a docket that has substantive
13 information in it and trying to build on that docket and
14 be responsive to public comment, to all the stakeholder
15 input, to really produce tools and resources that hit
16 the mark. So, that's perhaps nowhere most important --
17 nowhere more important than in this particular activity,
18 where we are really trying to curate how the state
19 manages this conversation, very broadly speaking.

20 So, I will reiterate Eddie's point that
21 tomorrow, we have the workshop on equity and inclusion
22 down in Oxnard. I'll be there in person, but I think,
23 you know, it'll be accessible on the web, and so I
24 really encourage all of you to put the word out and
25 attend yourselves.

1 That is a key criterion for all of our
2 programs, and this website we're talking about today, or
3 this set of resources, set of tools and informational
4 resources is -- we really need to look at it through
5 that lens, I'd say primarily. You know, put ourselves
6 in the shoes of people who are not energy experts, but
7 who want to do the right thing, how we can hook them up
8 with resources, with information, with tools and with
9 trusted partners that they can work with on those
10 projects.

11 So, I think with that, I'll pass the
12 microphone back to Eddie. Really excited to get started
13 and listen to what everybody has to say. And again,
14 just thanks to everyone for being here, and then thanks
15 to Eddie for running herd on this workshop and really
16 pulling together all these resources up to now and going
17 forward. So, thanks, everyone, for your attendance and
18 have a great workshop and have a great day.

19 MR. ROSALES: Commissioner McAllister, thank
20 you. Thank you for joining us today. With that, let me
21 start off our workshop with an overview. So, good
22 morning once again to everyone, welcome to this CEC
23 Staff Workshop on the Building Decarbonization and
24 Electric Vehicle Charging Website, as mandated by Senate
25 Bill 68. I'm Heriberto Rosales, an Energy Specialist

1 with the Efficiency Division here at CEC.

2 So, our goals for today's workshop are first,
3 introduce the public to the project and the bill
4 requirements. Second, I want to share our request for
5 information, RFI, that was initially posted July 6th, and
6 we're still inviting feedback from all public
7 participants, respondents, and stakeholders September
8 14th. Third, we'd like to hear from stakeholders today
9 and by September 14th on examples of equipment, tools,
10 and resources that could be used and shared on the
11 website.

12 Next slide, please.

13 Climate change is an urgent threat to the
14 health and well-being of California's residents and
15 economy. Switching from the use of fossil fuels to
16 electricity for building energy use is a key strategy
17 for reducing greenhouse gas emissions, GHG. In
18 addition, the availability of electric vehicle charging,
19 or EV charging and guidance for installing such
20 equipment in buildings is an important pathway to
21 advanced EV adoption.

22 So, reducing GHG emissions and increasing the
23 resiliency of buildings and energy systems are critical
24 for California to manage climate change costs.

25 California agencies and local jurisdictions are focused

1 on coordinating and reducing GHG emissions economy-wide
2 to meet the state's goal of providing a zero-carbon grid
3 by 2045. The residential and commercial building
4 sectors combine to account for 24 percent of GHG
5 emissions when you include all fossil fuels in
6 buildings, such as electricity and gas for heating,
7 cooling, lighting and cooking, and emissions from
8 refrigerants as well that are used in appliances and
9 equipment within the building.

10 In 2018, Governor Brown issued executive order
11 B-55-18, which established a state-wide goal to achieve
12 carbon neutrality by 2045. That same year, the
13 California legislature directed the CEC to assess the
14 potential for the state to reduce GHG emissions from
15 buildings by 40 percent using a 1990 baseline by 2030.
16 And for the CPUC and CEC, to develop incentive programs
17 aimed at advancing low-carbon equipment in the market
18 and increasing the number of new electric low-income
19 housing.

20 So most recently, in July '22 -- July 20, of
21 '22, Governor Newsom sent a letter to the California Air
22 Resources Board requesting their scoping plan account
23 for 6 million new heat pumps by 2030, 3 million climate-
24 ready and climate-friendly homes by 2030, and 7 million
25 homes by 2035. Some pretty ambitious goals.

1 So, switching the focus from buildings to
2 vehicles, the transportation sector accounts for about
3 41 percent of all GHG emissions, making it the most GHG
4 intensive sector in the state's economy. The
5 availability of EV charging at the residential and
6 commercial building level is an important factor in
7 advancing EV adoption state-wide.

8 So, in 2020, Governor Newsom issued Executive
9 Order N-79-20, which set a goal of 100 percent of sales
10 of new passenger cars and trucks to be ready to be zero
11 emissions by 2035. To achieve progress towards the
12 Governor's 2035 goal, California will need nearly 1.2
13 million public and shared public -- excuse me. 1.2
14 million public and private electric vehicle chargers
15 within the next eight years to support an anticipated 8
16 million new vehicles -- electric vehicles on the road by
17 2035.

18 Next slide.

19 In the 2021 Integrated Energy Policy Report,
20 IEPR, the CEC recommended, "The state provide a state-
21 wide information campaign to familiarize consumers with
22 and promote high-efficiency electric appliances and all
23 electric buildings." Senate Bill 68, introduced by
24 Senator Becker in 2021, requires CEC to develop and
25 publish guidance and best practice to reduce barriers

1 for building owners, contractors, and local governments
2 to transition to electric vehicles, equipment, and
3 appliances. The legislation also codified that, "It is
4 a state climate policy priority to make it as easy as
5 possible for building owners to switch from fossil-fuel
6 powered equipment to electrical equipment for heating,
7 cooking, and other energy needs, and to install EV
8 charging or energy storage equipment."

9 Next slide.

10 I'm going to cover a few barriers and
11 solutions for the building sector. What are some of the
12 barriers? While retrofits to existing buildings offer
13 the greatest potential for emissions reductions, they
14 also face more barriers than new buildings. For
15 example, such as scheduling around occupant presence,
16 equipment installation and requirements, upfront costs,
17 space constraints, structural issues, and building
18 upgrade requirements for a construction permit. These
19 are all examples of barriers for existing buildings.

20 In addition, low-income households face
21 additional barriers to decarbonization compared to
22 higher or middle-income households. These include
23 greater energy burden overall, poorer housing conditions
24 overall, lack of access to capital, and if they rent,
25 lack of control over housing improvement decisions to

1 their housing structure.

2 Together, these barriers create a high bar
3 that must be reached to participate in decarbonization
4 activities. Commercial buildings also face
5 decarbonization barriers, including fuel costs, the
6 higher cost of electricity compared to gas fuel in some
7 areas of the state, and the lack of options to
8 inexpensive systems that will replace conventional
9 commercial applications. Such as high-heat cooking, and
10 the lack of knowledge about short and long-term benefits
11 of all electric equipment.

12 So, some example solutions to these barriers.
13 So, our goal here with this project is to provide
14 information to key stakeholders, resources as well, and
15 best-practices to facilitate and reduce barriers for
16 building owners, contractors, and local governments.
17 Those three stakeholders are going to be key. To
18 decarbonize buildings and electrify transportation, CEC
19 and CPUC are working together to support strategic
20 design of building decarbonization projects and programs
21 to maximize household benefits and affordability in low-
22 income and disadvantaged communities.

23 Next slide.

24 So, some barriers and solutions regarding
25 electric vehicle charging equipment, EVSE. Some

1 barriers -- low electric vehicle supply equipment
2 installations overall, and then permitting. Although
3 about half of all public EV charging in California are
4 installed in low-income communities, our analysis shows
5 that low-income census tract communities still have
6 fewer overall public chargers per capita than middle and
7 upper-income communities throughout the state.

8 Permitting is also a barrier. So, as of 2020,
9 only half of the 540 jurisdictions tracked by the
10 Governor's Office of Business and Economic Development,
11 AKA GO-Biz, has streamlined or were streamlined charger
12 permitting ordinances. Of the jurisdictions tracked,
13 269 had no streamlining efforts. Burdensome permitting
14 processes continue to immediately delay charger
15 installation and pose a barrier to California's charger
16 deployment goals.

17 So again, I think I've covered some of this,
18 but the state has a goal to install about 8 million
19 electric vehicles and 1.2 million EV chargers by 2030.
20 And we are also -- another solution is resources that
21 will be streamlined, and streamlined permitting and
22 resources and increased enforcement.

23 As stated earlier, California is targeting 8
24 million EVs and 1.2 million EV chargers by 2030. We do
25 have the opportunity to accomplish this goal. For

1 example, GO-Biz has assembled resources and example
2 ordinances and a permitting guidebook to support local
3 jurisdictions. GO-Biz also tracks progress across
4 California using an eight-part scorecard.

5 Next slide, please.

6 Project phases. So, to implement the SB 68
7 website project, CEC is gathering information and
8 resources that we'll post into the website in a phased
9 process. I think the Commissioner was touching on this
10 point, we're really relying on stakeholders and
11 participants to provide us information and their
12 recommendations to provide the best website possible.

13 So, in phase one, we will be addressing
14 devices, appliances, and equipment. So, examples
15 include hard technology such as heat pumps and water
16 heating, and space conditioning and thermostats. These
17 are products or items that must be physically installed
18 into the buildings.

19 When we complete phase one, we will transition
20 to phase two. Phase two will address all the soft tools
21 and resources. This includes information on incentives,
22 energy modeling software, case studies to support new
23 policy, ordinance templates, and potential process
24 guidance such as streamlined heat pump water heater
25 permitting.

1 When we complete phase one and phase two, we
2 will have addressed all the requirements for the website
3 so we will then transition to phase three, which will be
4 ongoing monitoring and updating of the website with new
5 information and tools. Staff will develop metrics to
6 monitor website usage and address user and stakeholder
7 questions and input regarding their website experience.

8 So, today's panel will provide examples of
9 technology and tools and how they can support building
10 decarbonization efforts. CEC staff will be reviewing
11 all stakeholder comments and RFI responses in addition
12 to the examples of today's panel -- that today's panel
13 will be sharing. It's our hope that stakeholders
14 respond to the questions in the RFI, which again,
15 comments are due September 14th, and share their ideas
16 and thoughts on the record so that Staff can use them to
17 help shape the website.

18 Next slide.

19 Quick timeline. September 14th is when
20 comments are due to the RFI, but you could also include
21 that as a deadline for comments to this workshop.
22 Public workshop is -- we plan to launch a website later
23 this year. So, by Fall '22, we plan to have another
24 public workshop and a pilot website up so that way
25 stakeholders can test it out and give us feedback then.

1 And then by later this year, we hope to launch the
2 website.

3 Next slide, please.

4 So, this is my conclusion slide. So, for any
5 general questions on this building decarbonization and
6 EV charging equipment and website project, here's my
7 contact information. The docket number for this
8 proceeding is 22-DECARB-02, for your reference. That's
9 where you can be submitting comments on the record,
10 which is our -- going to be most useful again, for
11 considering what ultimately goes into the website.

12 So, thank you, this is the end of my overview,
13 and I will now -- we will now transition into the first
14 slide. Gabe, can you transition to the next slide?

15 Gabriel, next slide, please.

16 So, we will now start with Panel 1. Gabriel,
17 can you go to -- great. Josie, Tom, are you ready?

18 MS. GAILLARD: Yeah. Do you want me to share
19 my screen?

20 MR. ROSALES: Yes, you could share your
21 screen. Let me start off with a quick introduction.
22 So, we will have four panelists as part of Panel 1. For
23 those who are following, Josie and Tom will be our first
24 presenters on Panel 1. Josie is an expert and private
25 consultant focused on building electrification. Josie

1 is a graduate from the UC Berkeley Haas School of
2 Business. And Tom Kabat will also be joining her as a
3 co-presenter, and he is also a private consultant
4 focused on building electrification.

5 Okay, Josie. With that, I will mute my line
6 and I'll let you take it away.

7 MS. GAILLARD: Okay. Can you see my screen?

8 MR. ROSALES: We see it. Yes, we do.

9 MS. GAILLARD: Okay, great. First of all,
10 good morning, Commissioner McAllister, Eddie, Gabe and
11 CEC Staff. Thank you for inviting us. So, we'll be
12 covering ways to simplify home electrification with
13 circuit controls, which is what we were asked to speak
14 about. And we'll get in to exactly what that is.

15 First, I just wanted to start with a little
16 bit more on SB 68. As was mentioned, it was authored by
17 State Senator Josh Becker, and it directs the CEC to
18 publish best practices for building electrification.
19 So, for reducing barriers and helping building owners
20 electrify.

21 So, just highlighting a couple other details
22 of the bill, which is now law -- which is that the
23 Commission should gather this information, put it on a
24 website, and specifically focusing on the following
25 topics. One, is the availability of electrical

1 equipment that can minimize electrical service capacity
2 requirements. That means enabling people to electrify
3 without necessarily upsizing their service panels. And
4 B., we see here again, kind of emphasizing that same
5 point, approaches to energy budgeting to fit electrical
6 replacements and vehicle charging equipment within the
7 existing electrical service capacity of the building
8 whenever possible.

9 It's not always possible, but as we'll learn
10 later, we think it's possible in about 90 percent of
11 cases to avoid a service upgrade. And that just allows
12 dollars that would have been spent on a service upgrade
13 to go toward the actual electrification of the building,
14 swapping out the fossil-fuel equipment.

15 Other topics to be covered, which were
16 specified in the bill, were circuit sharing technology,
17 whole-building electrification plans, and streamlining
18 and standardizing permit and inspections. All of which
19 will be covered in the workshop today.

20 So, the idea with this bill, is it doesn't
21 actually require citizens of California to do anything.
22 It doesn't provide any incentives for people to do
23 anything. This bill purely provides information, with
24 the idea that information is power. Citizens of
25 California are really concerned about climate change.

1 They may not know what to do. So, this website was
2 intended to help people with really concrete steps to
3 start on the journey of electrifying their buildings and
4 their vehicles.

5 So, you know, the reason why we're all here,
6 is despite all of the pledges to reduce global
7 greenhouse gas emissions, this blue line tracks what
8 we're actually doing, which is continuing to increase
9 them. The orange line here is what we need to get on if
10 we want to actually keep the temperature rise below 2
11 degrees C. And that red dash line is meant to
12 demonstrate what happens for someone today who installs
13 a gas furnace which lasts potentially for 30 years or
14 more, that it locks in emissions at this current level,
15 and prevents us from getting down that orange sloped
16 line to zero emissions.

17 Just a quick look at equipment turnover rates.
18 Cars, roughly, are owned by people for an average of
19 seven years, whereas furnaces, you know, can be 30
20 years. Tom and I, often, when we go into buildings, see
21 furnaces that are 70 years old. That's 7-0. These old
22 wall furnaces and floor furnaces here in California.

23 So, the point is, we have many opportunities
24 to intervene and help people make, you know, go electric
25 in their vehicles. We have many fewer opportunities to

1 do that with equipment like furnaces. So, every gas
2 furnace -- and there will be 167,000 gas furnaces
3 replaced in California in existing buildings in this
4 year alone. Every one we fail to convert this year
5 locks in emissions until potentially 2052. Which, since
6 the state is targeting a 2045 carbon neutrality, creates
7 a problem, a future problem. So, this is why Tom and I,
8 at least in our work, feel a sense of urgency. Every
9 home that we can prevent from replacing fossil equipment
10 with more fossil equipment is a win.

11 Okay, just wanted to be clear that our focus
12 is not new construction, it's existing buildings, and we
13 also focus primarily on single family residential. Not
14 multi-family or commercial in terms of swapping them
15 from fossil fuel to electric. There are about 8 million
16 single family buildings/homes in California. And about
17 64 percent of them currently use gas heat.

18 So once again, the challenges. We've got
19 about 167,000 furnaces burning out this year, gas
20 furnaces. Many of those will be replaced with gas,
21 unless, you know, this website can convince them
22 otherwise.

23 The problem is, if we then want to accelerate
24 to that 2035 goal of getting, I think it was 7 million
25 heat pumps into homes, we're really going to need to

1 increase the workforce. So, that's a question for us
2 all, is who is going to do this work?

3 And then, there's the cost, potentially, to
4 upsize. If we decide, oh, everyone's just going to have
5 a service upgrade, that will cost roughly \$24 billion.
6 Much of that would come out of the pocket of the
7 homeowner. And that's \$24 billion that's not being
8 spent on heat pumps or EV chargers. So, from my
9 perspective, if it's not needed it's wasted money.

10 So, the good news, is in our experience, Tom
11 and I go into existing homes and assess the situation
12 and come up with a plan to help people fully electrify
13 the home. In our experience, the vast majority of homes
14 actually do not need a service upgrade. All of their
15 dollars can be spent on heat pumps and induction ranges,
16 et cetera.

17 So, people ask us this all the time, what's
18 the percentage? You know, we don't have a huge data set
19 right now, because we're just starting this work. But,
20 in our experience, about 90 percent of homes on 100-amp
21 panels or greater could be fully electrified, including
22 EV charger, without a service line increase.

23 In this graph, each bar on this graph
24 represents a home, looking at over the past year, the
25 max load that the home had on its panel. And you can

1 see here, the green just shows how much of the home's
2 panel or service line is underutilized. Even on the far
3 right with two homes that are nearly all electric, you
4 can see that the panel is still underutilized.

5 So, the National Electrical Code requires that
6 we do very conservative calculations before we electrify
7 a home. But even a home that looks like it might be,
8 according to NEC calculations, maxing out the panel --
9 in actuality, it's not even close.

10 So, our approach to home electrification
11 includes three important steps. One, is having a plan,
12 and that's on the far left here. That includes National
13 Electrical Code load calculations to make sure that
14 everything that you want to electrify can fit on the
15 panel.

16 The second piece is choosing power-efficient
17 equipment. This is really essential. If you choose the
18 right equipment, you can very easily get very close to
19 electrifying a home with a 100-amp panel, no problem.
20 If you still have a gap, then we deploy circuit
21 controls, and that will be the focus of this talk. But
22 I want to make sure it's clear that circuit controls is
23 just one piece of this whole approach. And often, is
24 the last piece to be deployed.

25 So, this approach of panel optimization helps

1 again, people avoid the panel, electric panel upgrades,
2 which today -- it used to be being quoted around \$3,000
3 in our area, which is the Peninsula, San Francisco
4 Peninsula. But recently, the cost to do an electric
5 panel, the average, has gone up to about 5,000.

6 So, whatever we can do to avoid that is great.
7 The plans provide a roadmap for the building owner, and
8 they also help guide tradespeople who might be coming
9 into the home and want to recommend a piece of equipment
10 that requires more amps than what we specify, not
11 understanding how their appliance may fit into the whole
12 picture for the homeowner.

13 So, people ask us, do the trades know about
14 this approach? And generally, I would say no. There
15 are some, but generally each trade really thinks about
16 their own appliance. So, an EV charger installer thinks
17 about EV chargers. And an HVAC person thinks about the
18 HVAC. And so, no one's really thinking about how the
19 whole building is going to fully electrify.

20 So, we have a choice. We can either train all
21 the trades in how to do this work and to think more
22 wholistically about the whole building and the future
23 for the building, or we could train electrification
24 experts, people like Tom and me, who understand how all
25 of the home's electric systems are going to work

1 together.

2 You know, the other thing that could be done
3 is building code could accelerate this learning by
4 requiring whole-home electrification plans for people.
5 Again, that helps give them a roadmap for this process.

6 Alright, so, circuit controls. The four basic
7 categories of circuit controllers that we deploy are
8 circuit pausers, smart breakers, circuit sharing
9 devices, and smart panels. We find that the trade who
10 knows most about this are the folks like Paul who will
11 be speaking later, who install EV chargers.

12 The reason they know about these, is because
13 they're often asked to come into a home and install a
14 really large EV charger for people. And sometimes, that
15 charger won't fit on the panel according to any seed
16 load (phonetic) calculations. So, they have been really
17 at the cutting edge in terms of deploying circuit
18 controls and can be a great resource for the CEC going
19 forward as it creates this website.

20 So, I want to dispel a couple of
21 misperceptions. First, circuit controls are not a
22 panacea. Some people think like, okay, I'll just deploy
23 circuit controls and then I don't have to have a plan
24 and I don't have to choose the right equipment. That's
25 not true. You won't be able to electrify your building

1 on your existing panel that way. So, alone, they don't
2 solve the problem. First, you need to have a plan.
3 Second, you need to make sure you choose the most power
4 efficient equipment, and then if you have a gap, you
5 deploy circuit controls.

6 So, one note about the state of the technology
7 in this field is there's a lot of rapid innovation
8 happening right now. It's driven primarily by this need
9 for fitting EV chargers onto panels. But it's -- oh.
10 Those devices can be used for the whole home
11 electrification as well.

12 There are a lot of startups in this area.
13 Some based in Europe, some based right here in
14 California, like a company called NeoCharge. So, it's
15 actually kind of hard to stay on top of all of the new
16 offerings, there's so much innovation. Many of the
17 companies are seeking UL listing, although not all.
18 Some of the European ones don't, although they could be
19 enticed to, and that may be something that the CEC wants
20 to look in to.

21 And then we find that with the current
22 offerings of circuit controls, it's actually very easy
23 to electrify a 100-amp home on the controls available
24 today. And then the emerging solutions, the ones that
25 are coming next, will just make it easier to do that.

1 Okay, Tom. Now I'll hand it over to you to
2 dive into the technical details of some of these.

3 MR. KABAT: Alright. Thanks, Josie. So, one
4 of the things that we're finding is most useful if there
5 still is this gap to close -- if the, you know, just
6 choosing efficient appliances hasn't been enough, or
7 adding insulation in order to be able to downsize the
8 heat pump has not been enough. If we've still got that
9 gap to close, the thing that looks like it really does
10 it well is what we call a circuit pauser. And there's a
11 couple different brands and models of this thing. But
12 they basically have these CT clamps, those funny clamp-
13 like things on the right-side of the centered picture.
14 Those fit on the main service lines of the house and
15 measure the current or wattage, either one, they're
16 proportional, going to the house panel.

17 And so, when the whole house panel is loaded
18 up to, say, 80 percent of its rated loading, the signal
19 goes into the circuit pauser box in the middle there,
20 and tells it to pause the EV charger. Or there's some
21 even more sophisticated ones coming out now that don't
22 pause it entirely to zero, they just cut its output in
23 half and see if that's low enough. And if it's not low
24 enough, then they pause it. So, there on the right-hand
25 side you can see in the upper left picture, you know,

1 there's the pauser and controlling a EV charger.

2 Next.

3 Another thing that's coming along, there's
4 three major breaker companies are making now smart
5 breakers. And so smart breakers have web-enabled
6 access. And so, they're recording the information about
7 the power passing through them. And it looks like there
8 will be future ability to deploy those that will also
9 sense the power passing through the main breaker
10 disconnect for the whole panel. And then comparing that
11 and deciding whether to pause the EV charger to stay --
12 to keep the panel within its rating. So that'd be
13 another way to shoehorn additional charging onto the
14 same panel, without adding load that collides and
15 triggers a disconnect.

16 Next.

17 So then, the other one that's come out is
18 really interesting, that's circuit sharing devices. And
19 so, the homeowners can plug those into the wall
20 themselves. Some of them are plug-based, and so it's
21 shown in the middle box between the dryer on the left
22 and the car on the right. And so, that might be the
23 dryer outlet, and plugging a circuit sharing device in
24 there and then plugging the dryer into the dominant side
25 and so it gets power whenever it wants power. And when

1 the drying's done, then power is available to go charge
2 the car battery. And the reason that it goes in that
3 direction, is people might be impatient about getting
4 their clothes dry but the car has a battery, and the
5 battery can be patient about when it fills up. It just
6 wants to fill up before morning.

7 Next.

8 Another thing coming out now are smart panels,
9 which are kind of like the circuit pausers in a way. A
10 cross between the circuit pausers and the smart
11 breakers, it's all built in together in there where it
12 tracks the total flow of power coming into the panel and
13 where it's going out to the different circuits it allows
14 the homeowner to prioritize the circuits. And as if
15 they had an occasion, say once a year or many times a
16 year or whatever it was, where their panel was getting
17 up towards the 80 percent loaded rating, it would pause
18 their circuits in a priority order.

19 I imagine that the easiest priority would be
20 pause the car charger first, and then pause the water
21 heater recharge second et cetera. Because you would
22 never notice those are paused because the pausing will
23 be short duration, it's probably while you're cooking on
24 all five burners and two ovens. And as soon as -- and
25 that only lasts for a few minutes that you get that many

1 burners going. So, then pausing's over and you're back.

2 Next.

3 So, this is just a layout of the typical NEC
4 220.83B calculation method that's used by electricians
5 and building departments to check, you know, is there
6 compliance here with the sizing for the feeder loading
7 or panel loading. And so, the code lets you put in
8 these things, all these efficient appliances, put their
9 nameplates in there, that reduces the total panel size
10 needed. And then if you still need to close that gap
11 using circuit pausers, lets you count just the higher of
12 the two loads on the paus-- excuse me, circuit sharers -
13 - let you count just the higher of the two loads on the
14 sharing device. Like the larger of either the dryer or
15 the car. And if you use circuit pausing devices, it
16 lets you avoid counting the car charger on the pauser at
17 all. So, those are the two different ways that we can
18 track these circuit devices into the NEC load
19 calculations.

20 Next.

21 So, we're facing greater challenges than that.
22 You know, what's happening is there's kind of a form of
23 range anxiety that causes new EV buyers to oversize
24 their home EV chargers, leaving no room on the panel for
25 other electrification. And in some neighborhoods where

1 there's high EV adoption, it's actually overstressing
2 the pole-top transformers already. So that's looking
3 like a problem, that looks like we need to work on
4 right-sizing the EV chargers, because a 20-amp EV
5 charger will deliver 39,000 miles a year of charging
6 just in eight hours a night. But many people are
7 putting in these 50-amp circuits, which just overheat
8 the transformers while they charge the car in the first
9 two hours of the session.

10 So, people are also still installing, in
11 retrofit, new gas tankless water heaters. And those are
12 a big problem for retrofitting. And they're also a big
13 problem for methane emissions, because they spew methane
14 every time you turn on the warm water. It spews methane
15 to try to ignite the flame.

16 People are still using electric resistance
17 dryers. But, you know, using these heat pump
18 alternatives will get them less panel impact. So, we
19 think the site needs to be encouraging better heat pump
20 alternatives for dryers for people to use those.

21 And then, also permitting authorities need to
22 be able to see the site and understand how all this
23 stuff can fit together, and still work out on the panel
24 and update their methods of evaluating situations. And
25 then the trades, as Josie mentioned. Either all the

1 trades have to learn how to do this, or the site maybe
2 can help professionals get it done together.

3 Next.

4 MS. GAILLARD: That's it.

5 MR. KABAT: Alright, thank you very much.

6 MR. ROSALES: Tom and Josie, thank you. That
7 was a great presentation. Thank you.

8 Just wanted to remind everybody on the call,
9 if you do have questions or comments for any of the
10 presenters you will see today, but particularly since we
11 just got started, please hold them. We will have a
12 discussion and question and answer session immediately
13 after the panel.

14 With that said, I will -- Joseph, are you on
15 the line and are you ready to go?

16 MR. WACHUNAS: Yeah, I'm here. How's my
17 audio?

18 MR. ROSALES: Perfect. Thanks, Joseph. Did
19 you need help with your slides?

20 MR. WACHUNAS: Nope, I should be able to
21 share.

22 MR. ROSALES: Okay.

23 MR. WACHUNAS: You guys able to see my slides
24 now?

25 MR. ROSALES: Okay.

1 UNIDENTIFIED SPEAKER: Looks good.

2 MR. ROSALES: Yes.

3 MR. WACHUNAS: Alright.

4 MR. ROSALES: Thank you. Let me introduce you
5 real quick, Joseph, before you get started. Well
6 Joseph, good morning, and welcome. Joe Wachunas is a
7 project manager at the nonprofit, New Buildings
8 Institute, NBI, and primarily focuses on the Advanced
9 Water Heating Initiative. He seeks to decarbonize water
10 heating through heat pump water heater technology. Joe
11 has also worked in electric transportation and renewable
12 energy sectors, and regularly contributes to the blog,
13 CleanTechnica. Thank you, Joe, and welcome.

14 MR. WACHUNAS: Great. Just set my timer.
15 Great to be with you all today, thanks so much for
16 having me. Thank you to the CEC and Heriberto for
17 organizing this great meeting today. Yeah, like
18 Heriberto said, my name is Joe Wachunas. I work for the
19 nonprofit New Buildings Institute. And we help run the
20 Advanced Water Heating Initiative, which is a group of
21 400 stakeholder organizations that are working together
22 to put heat pump water heaters, which I'll be talking
23 about today, in every home and condo and business across
24 the United States. We have utilities and governmental
25 partners, the CEC is a great stakeholder in our

1 initiative, and so really excited to talk about this
2 today.

3 So, we are -- I'll be talking over the next 15
4 minutes on water heating. And if you're like me, a
5 couple years ago you probably never gave two thoughts to
6 your water heater. Why would we talk about water
7 heating at this very important meeting?

8 Well, oddly enough, our water heaters, which
9 usually sit there in our garage or in the utility
10 closet, or a basement, and we never think about it.
11 They provide all the hot water we need. They use a lot
12 of energy. You can see that with space heating, our
13 furnaces or heat pumps, and water heating combine to
14 form about two thirds of our energy usage in our house.
15 So, these are the big potatoes that we have to make
16 really efficient and to decarbonize as quickly as
17 possible.

18 So, water heating, even though it's not
19 something that's top of mind for many of us, it is a
20 really big use of energy. Across the U.S., there's two
21 types of water heaters that are used, almost at a 50/50
22 split. They are electric resistance water heaters, and
23 natural gas water heaters.

24 And electric resistance ones are old electric
25 technology that you can think of if you have an electric

1 stove, you can think of those coils on your stove, where
2 the electrons come in and get smooshed together and get
3 red hot. Well, that's kind of in a water heater. And
4 it heats water well, but it uses a lot of energy.

5 And the other type of water heater is a
6 natural gas water heater, which burns fossil fuels and
7 as Josie was mentioning, there's lots of emissions with
8 natural gas water heaters. So, to decarbonize, we need
9 a new type of water heater.

10 Really quick, in California, the newest
11 residential energy consumption survey shows that in
12 California, you all have a majority of gas water
13 heaters. Anywhere from 75 percent to other surveys are
14 showing over 90 percent of water heating in California
15 is using natural gas. So, we're going to need to
16 decarbonize that across millions of households in
17 California.

18 And so, I'm here to talk about this, the water
19 heater called a heat pump water heater, which is really
20 an exciting opportunity. It's an opportunity to save
21 100 million tons on our CO2 emissions. It's an
22 opportunity to create really good jobs for underserved
23 communities in installing this new type of technology.
24 And it's also an opportunity, as Tom and Josie were
25 talking about, to help our grid out. As we electrify

1 everything, the heat pump water heater can be an asset
2 on our grid and can be -- they are smart, and connected,
3 and can use electricity in times when there's not a high
4 demand, and then not use electricity in times when there
5 is a high demand.

6 So, let's talk about this heat pump water
7 heating technology. And hopefully, by the end of my
8 presentation, you'll be excited about water heating as I
9 am. So, heat pump water heaters are similar -- you
10 know, it's a relatively newish technology in the 10 to
11 15 years that they've been on the market, and they're
12 growing really fast in adoption. But it's also really
13 familiar technology.

14 It's really the same technology as a fridge.
15 Your fridge is a heat pump, it just works in reverse.
16 It cools a space, and a heat pump water heater heats a
17 space. And it's really energy efficient. We talked
18 about how that electric resistance and gas are very
19 inefficient. Well, heat pump water heaters are three to
20 four times more efficient than that electric resistance
21 water heater, and five to six times more efficient than
22 gas water heaters. We'll look at kind of what that
23 means in a second.

24 They are a little bit higher upfront cost.
25 So, you're usually starting at around -- the retail

1 price is around \$1,500 to \$1,800 for a heat pump water
2 heater, compared to the six to \$900 for the standard
3 electric resistance or gas water heaters. So double,
4 sometimes triple the cost upfront. But the savings as
5 we'll see in a second, are very pronounced, and you can
6 usually pay that upfront cost back within a couple
7 years, and there are rebates as well, which we'll talk
8 about.

9 They use refrigerants. That is something that
10 California is looking into, how do refrigerants do? If
11 they're released into the environment, they do have some
12 global warming potential. But this is a closed system.
13 And then the electrical infrastructure may need to be
14 upgraded with a heat pump water heater, we'll get into
15 these details, especially the new 120-volt heat pump
16 water heater.

17 So, heat pump water heaters work by pulling
18 the air out of the room nearby, and pulling that warmth
19 out of the air. And then they compress it, and this
20 raises its temperature. That temperature goes into the
21 refrigerant, and that refrigerant transfers the heat to
22 the water. It's pretty amazing.

23 They only -- rather than the gas water heaters
24 that emit all these, you know, nitrogen dioxide and all
25 these other noxious fumes, they only emit cool air,

1 that's it. And a little bit of water. So, you -- it
2 will cool a space a little bit, and we'll see that in
3 just a second.

4 And also, when you're installing a heat pump
5 water heater, you just have to make room for a
6 condensate line, a little tube that would drain water
7 either outside or into another drain. Like I said
8 before, they're all -- most heat pump water heaters are
9 smart and connected and can be used during times of peak
10 demand and that can help saves Californians money.

11 So, with any new technology, there's always a
12 question -- where do I install a heat pump water heater?
13 And how do you install one? Well, the good news is they
14 install just like that electric resistance water heater
15 that we saw that half of the country uses. They either
16 need 240 volts, or the new ones just plug right into a
17 normal outlet. We'll talk about that, the new 120-volt
18 ones.

19 And the ideal places to install a heat pump
20 water heater are number one, a garage is a great spot.
21 It's usually unconditioned or semi conditioned space
22 that can -- that loves that extra cool air, especially
23 in the hot California summer. And it's just an easy
24 spot with a lot of air flow.

25 Another good spot is a basement, they work

1 well there. But they can also go in utility closets.
2 Behind my background and over my shoulder I have
3 installed my heat pump water heater in my utility closet
4 and it works great. We'll talk about some strategies.

5 So, they need -- heat pump water heaters
6 typically need about -- some air to pull that warmth out
7 of. And so, they need about 700 cubic feet of air, most
8 manufacturer say that. Although, a new study done by
9 our friends at NEA, the shrinking room study, where they
10 slowly shrank the room and said, "How much air does a
11 heat pump water heater really need?" Showed that even
12 at 450 cubic feet of air, so a small, small, space, they
13 were still very efficient.

14 And if you just -- if your water heater is in
15 your utility closet they still work great. You can see
16 below there's a couple of different options. On the
17 left, you can put a louver door on the utility closet,
18 and it gets a lot of air that way. In the middle, you
19 can see you can put some vents on the bottom and the top
20 and they give a lot of air that way. Or, like I did,
21 you can duct a heat pump water heater to an outside
22 space or another room. So, there's lots of ways to put
23 a heat pump water heater. Really, any application.

24 They do cool a space a little bit, most of
25 it's not very noticeable, but a couple of degrees in

1 summer that's wonderful. In the winter, you might, you
2 know, just be relying on your other heat pump system to
3 remove that cool air. Or you can use these strategies
4 and duct the air out of the space. They're not
5 difficult to install, they're just like an electric
6 water heater, except you have to think about the -- you
7 have a condensate line, like I said before, and you have
8 to think about that air.

9 And then the last thing to say on questions
10 and myth busting, do they make a lot of noise? They do
11 -- a lot of manufacturers you talk to say it's not a lot
12 of noise, it's just a new noise. And you're not used to
13 your water heater making a lot of noise. Some gas water
14 heaters do make noise. But they make a noise between 45
15 and 55 decibels. 45 decibels, just to give you an idea,
16 is like a quiet dishwasher.

17 Mine, again, is in my living room space, and
18 we never notice it. It's quieter than my fridge is.
19 Some models make a little bit more noise, and so it
20 depends if your -- you might want to look into that if
21 you're putting it in an interior space, how many decibel
22 levels. But most of the time it's, again, like other
23 appliances in a home.

24 So, the -- I just want to just highlight the
25 savings here of when you change from electric to

1 electric resistance to a heat pump water heater, you're
2 going to save, again, about three quarters of the
3 energy. It's game changing energy savings. And
4 nationally, that looks like about saving \$300 a year.
5 In California, with higher electricity prices, that can
6 be more like four to \$600 a year. It's really exciting.
7 So, if you have an electric water heater, you're just a
8 prime candidate just to replace with a heat pump water
9 heater.

10 Gas, you're saving even more energy, again
11 five to six times as much energy, 86 percent, switching
12 to a heat pump water heater. Nationally, you save about
13 \$200 a year, according to the Department of Energy, when
14 you switch from gas to heat pump. In California that
15 might be a little bit different, because you have time
16 of use rates, different electricity rates, and it can be
17 -- electricity is a little more expensive than the
18 average nationally. So, it just depends a little bit.
19 But again, heat pump water heaters are able to ---are
20 connected and smart. And so you can program them, and I
21 know a lot of people who do, to not run during the times
22 of where electricity is the most expensive. And you
23 never run out of hot water, so I'm told.

24 The -- just another way to think about the
25 energy savings, a quick story. My sister was

1 installing, or was building a new house and I was trying
2 to talk her in to getting heat pump water heater and she
3 was kind of unfamiliar with the technology. So, she
4 went with the electric resistance water heater, and she
5 said, "Hey, we're going to get solar panels next year
6 anyway, so it's okay, my solar panels will just make up
7 for the less efficient water heater."

8 Well, I did -- I ran a couple calculations.
9 And to make up for that electric resistant water heater
10 and all the more kilowatt hours it will use, she'll to
11 add six extra solar panels to her roof. And that will
12 cost four to six times as much money than buying the
13 heat pump water heater. So, this just gives you an idea
14 that they save, you know, six solar panels worth of
15 electricity, which is just really exciting. And they're
16 kind of these unsung heroes. The other way to think
17 about it is if you replaced 54 100-watt bulbs in your
18 house to LED's, that's the same energy equivalent as a
19 heat pump water heater.

20 We just wanted to highlight that not only are
21 there heat pump water heaters for homes and residences
22 and apartments, there also are commercial heat pump
23 water heaters that work in commercial settings, multi-
24 family settings that have big boilers, and they can
25 replace these boilers and they're much more efficient

1 just like the residential ones. They can be more
2 complex or more efficient. Excuse me. More complex,
3 but definitely more efficient.

4 And I'll just say, the Advanced Water Heating
5 Initiative, we have both a commercial working group that
6 focuses on these commercial heat pump water heaters and
7 we have a residential working group. I'll put a link in
8 the chat to the initiative, it's free and open to the
9 public and we welcome everyone to join if they're more
10 interested.

11 I'll talk to you a little bit about the brands
12 around heat pump water heaters. The two common brands
13 that you can find in many big box stores are, Rheem,
14 which is usually found in Home Depot, and A.O. Smith is
15 found in Lowes. And there, you can find they have heat
16 pump water heaters in many different gallon sizes.
17 Bradford White is another large brand that sells right
18 to contractors. There are -- there's another brand
19 called Eco2 systems, which is a split system, the tank
20 is one piece and then there's a compressor that sits on
21 the outside. And then Stiebel Eltron is another one.

22 I do want to put in a plug for the 120-volt
23 water heater, because this is really exciting coming out
24 in California right now. California is the first state
25 to receive these 120-volt water heaters. Rheem is the

1 first company that's come to market. And the Advanced
2 Water Heating Initiative led a process to bring these
3 water heaters to market. And they plug in to any normal
4 outlet. You can run on a shared circuit, a 120-volt
5 water heater. But this is really emerging technology,
6 the just, Rheem just released this water heater in July.

7 And the Advanced Water Heating Initiative is
8 running a field study in California. I just want to put
9 in a plug, we are looking for participants who would
10 receive a free water heater in SCE or SMUD territory,
11 I'll put a link in the chat if you're interested and you
12 want to fill out the form. But this is a really
13 exciting technology, if you have a gas water heater
14 especially, and you don't want to run the 240 volts
15 required for the 240-volt heat pump water heater, you
16 can just plug this heat pump water heater into a normal
17 outlet. So, really exciting about that.

18 And there's a couple examples that are already
19 on the market, like we said. Rheem is available for
20 sale now. Nyle is another heat pump water heater maker
21 and they have a split system that's 120 volts that's
22 available. And then, A.O. Smith and GE are expected to
23 come out with their versions next year.

24 This is just a little example of the
25 commercial heat pump water heaters. We're tracking five

1 commercial but there's lots of manufacturers getting in
2 all the time, and lots of examples in California of
3 residences that are using these really efficient water
4 heaters.

5 And I'd like to just close with -- by talking
6 a little bit about rebates for heat pump water heaters.
7 California loves heat pump water heaters, that's my
8 icons are showing. Again, to help with that upfront
9 cost, we're really excited about the -- a couple things.
10 The Inflation Reduction Act has tax credits and rebates.
11 A couple of them for heat pump water heaters. So, you
12 want to check that out. And I'll include a calculator
13 that Rewiring America has done so you can calculate your
14 rebates in the chat.

15 Utilities oftentimes have rebates for heat
16 pump water heaters, so check your local utility. And
17 Energy Star is a great rebate finder, I'll put that in
18 the chat as well. The TECH Clean California program has
19 had funds, they've exhausted the funds I think for now
20 for heat pump water heaters, but they have had funds to
21 rebate them.

22 And then, the last icon is for weatherization
23 programs. There are several weatherization programs in
24 California that are for income-qualified households that
25 are installing heat pump water heaters. So, lots of

1 ways to help with that high upfront cost.

2 Thanks again for having me on today, really
3 excited to be here, and I'll wait for the Q&A portion
4 later. Thanks so much.

5 MR. ROSALES: Joseph, thank you for that
6 presentation. That was great. We're going to move on
7 with our third presenter. And before we start that
8 presentation, I do want to remind folks that the Q&A
9 function on the Zoom webinar is open. I do see that
10 there's some questions there. We will be getting to
11 them after the panel concludes. And for those folks who
12 do have questions, I just want to remind you, you can
13 use that function now, or you can wait till we get to
14 the public comment period.

15 Okay, our next presenter is Paul Nijssen.
16 Paul Nijssen is the founder and president of EVCharge4U.
17 EVCharge4U is an electric vehicle charging solution
18 provider. With that, I will stop my video. Paul, if
19 you are ready to go you can start.

20 MR. NIJSSEN: Okay, good morning, all. I'm
21 Paul Nijssen, EVCharge4U. You can start with the next
22 slide, please. It says a little bit about us.

23 We are located in Berkeley in the San
24 Francisco Bay Area. We install mostly in Northern
25 California. And we started actually 10 years ago with

1 EV charging stations.

2 Next.

3 A quick learning the language -- going quickly
4 over the cars who we have. We have the ICE cars,
5 everybody knows them, the internal combustion engine.
6 And then we have EVs, and that's, you know, EVs is more
7 like electrical vehicle. And there's overall with
8 everything but we can make portions of it like a BEV or
9 a ZEV. A Battery Electrical Vehicle is totally only on
10 batteries, or Zero Emission Vehicle.

11 Next.

12 Then we have the Hybrid Electrical Vehicle,
13 like the Prius. Everybody knows about the Prius, we
14 loved them all when they came out. They use gas and
15 they have also an electric motor.

16 Next, then we have the Plug-in Hybrid
17 Electrical Vehicle. What comes close to the electrical
18 vehicle but still has, for the people who are still
19 afraid to drive full electric because people think,
20 still, that we -- yeah, that they need to drive far.

21 Then we have the Fuel Cell Electrical
22 Vehicles. Not too popular, and probably has also to do
23 that, you know, everybody has electricity at home, and
24 fuel cell gas stations are nowhere to be found. Still,
25 it's -- think It's going to be more in the trucking

1 industry and also the busses who drive on the fuel
2 cells. That's where it's popular. I think electrical
3 vehicles going better for the future.

4 Next.

5 How it works? Well, everybody has batteries
6 at home, in your cell phone and your watches and also
7 the electrical vehicles have batteries. And most of
8 them are still lithium batteries. However, the market
9 is changing quickly to get -- to try to get the lithium
10 out of it. And -- so it's more environmentally
11 friendly. There are three levels of charging, and that
12 is Level 1.

13 Next, please.

14 The Level 1 is the 110, what you have at home.
15 It will start charging between three and five miles an
16 hour, what can be good for most people who don't drive
17 so much. So, when I come to a site visit and the people
18 don't have enough capacity, then I also ask -- oh the
19 installation can be very expensive. I always ask, "How
20 much do you drive? Do you drive only 20 miles an hour?
21 Please keep it in your pocket and charge on the 110."
22 Works perfectly for overnight for most people who drive
23 only 10 to 20 miles a day.

24 Then we have Level 2, what is the mainly what
25 we have at homes and also in multi-family housing.

1 There's 208 in big buildings, and 240 at your regular
2 house. And that will charge from, say, 10 miles an hour
3 up to, say, 44 miles an hour, roughly, depending on.
4 But, again, like Josie said earlier in the presentation,
5 I think you can just have a slower charge and you don't
6 need to charge always fast. I know people say always,
7 "Oh, I want the fastest charge ever, I want to have that
8 60-amp breaker." It is not necessary. So, calm down
9 and just enjoy your charge.

10 Can I get to the next slide, please.

11 Well I went a little bit over it already, and
12 again, 110 is 120-volt, is three to five miles an hour.
13 And for the basic people who don't drive so much, it's
14 great.

15 Next slide.

16 It's about the 208-240. Ten to 30 miles an
17 hour, that is perfect for everybody. Most people even
18 don't drive more than 60 to 80 miles a day. So, that's
19 great.

20 Next slide.

21 And Josie said also earlier that, you know, we
22 don't need to charge fast. Well, 30-amp -- 32-amp
23 charge on a 40-amp breaker, that's mostly what we
24 install. And now we go to the Level 3 charges, I
25 believe.

1 Next slide.

2 Yes. The Level 3 is 400 to 900 volts. That
3 are the, you know, everybody sees at the Superchargers,
4 what Tesla has. But also, Electrify America, EVGO,
5 ChargePoint. They have Level 3 chargers. We use them
6 mostly only for charging at, how do you say, when you
7 travel. So, if I need to go to LA, or I need to go to
8 Fresno from the Bay Area, yes, I need to stop and charge
9 my car. Takes a half hour to an hour, depending on how
10 big your battery is. But we don't use this in regular
11 homes or apartment buildings. We have this just mostly
12 outside and just for travelling.

13 Next.

14 Then, the dynamic load management, as I'll
15 call it, or as Tom and Josie said, circuit pausers. If
16 people don't have enough capacity, or if you're in a
17 multi-family housing, that's where we use a load
18 management box. It can be the DCC but can also be form
19 wall box. Wall box has great kilowatt-hour meter, they
20 put a CT's around the -- how do you say, your breaker.
21 And it will shut it down, lower it, when you don't have
22 enough capacity. That's my go-to instead of a service
23 change.

24 So, first thing what I will do is getting --
25 see how much people drive. If they don't have enough

1 capacity then we put in dynamic load management box in.

2 And yeah, that's pretty much it.

3 Now, I -- what does it cost to install an EV
4 charging station? It's really depends on where your
5 electrical box is. We like to come from your main
6 panel. And if your main panel is close to where you
7 charge, we can stay around \$500 for the cost, \$700 for
8 the charge exchanger roughly, and \$640 for the permit.
9 That's a flat-fee cost that has to do with drawings,
10 being there for the inspector, and including the permit.
11 The permit is very important, and it will be in the next
12 panel later on, they will talk about it that it's all
13 that the installer pulls the permits so the liability is
14 on the installers insurance. So, make sure you have
15 that.

16 Then, also, ask a few quotes. Don't start
17 with one quote, of course we love it as installers, but
18 people are willing to sell you more than you need. So,
19 please, just get a few quotes. Then, make sure that
20 you're never use aluminum wire. Aluminum wire gets soft
21 and can start a fire when you charge the car, because
22 the car has a continuous load. So please, if somebody
23 installs it with aluminum wire, please tell them no, use
24 copper wire.

25 Incentives. Incentives are there. Clean Cars

1 for All, but also the utility company. They have
2 incentives for installing your charging station at home,
3 depending of course on your salary from the family.

4 Then, EV chargers itself. You have a lot of
5 brands, you have ChargePoint for homes, JuiceBox, you
6 have Wallbox, go on and on. Make sure that your
7 charging station is hard-wired. That's not only good
8 for, you know, that people don't steal your charging
9 station, but it also the new code has that every
10 receptacle needs a GFCI breaker. Now, the charging
11 station has already a GFCI setting in the charger
12 itself. So, if you have a GFCI on the receptacle, and a
13 GFCI in the charging station, the chance that it will
14 trip is very big, and we recommend not to install a plug
15 anymore for a NEMA 1450, or a NEMA 650.

16 That was it for now, I hope that everybody got
17 a little bit wiser of this. The presentation you can
18 find later on the website. And I'll give it back to our
19 panel.

20 MR. ROSALES: Paul, thank you for that
21 presentation. That was good. And you brought up a --

22 MR. NIJSEN: You're welcome.

23 MR. ROSALES: -- brought up a good point. I
24 don't think I covered it earlier. I do want to remind
25 everyone on the call as well that all the presentations

1 you see today from both panels will be on the docket,
2 which you can access through our website. It will be
3 posted probably as soon as tomorrow, but no later than
4 this week, just for your information. If you want to
5 access any if the information from the presentations,
6 you see today it will be on our docket.

7 Okay. Hannah, if you can stand by and get
8 ready. Let me introduce our last panelist for Panel 1.
9 And if you could turn on your camera and unmute
10 yourself, then I'll do a quick intro. There you are.
11 Good morning.

12 MS. BRUEGMANN: Good morning, Eddie.

13 MR. ROSALES: So, Hannah Breugmann is Director
14 of Programs at Build It Green. Build It Green creates
15 credible and accessible resources and hosts working
16 groups that offer professional training in collaboration
17 with partners across California to support building and
18 a healthy housing ecosystem, and also fostering the
19 well-being of individuals, those communities and the
20 natural world around them. Hannah, with that, I will
21 turn off my camera and mute myself and hand it over to
22 you.

23 MS. BRUEGMANN: Awesome. Thanks, Eddie, and
24 thanks everyone at the CEC for hosting this workshop
25 today. We're really excited to be here. So, I'm going

1 to dive a little bit more into something that Josie and
2 Tom touched on earlier, which is electrical panels.
3 Just really quickly, Eddie introduced us, but like you
4 said in the intro, we've convened a working group of
5 folks who are really thinking about electrical panels
6 and how they're kind of the hub or the key to
7 allowing/enabling quick, cost-effective, and equitable
8 electrification, just by removing barriers and costs,
9 which we'll go ahead and then talk about today.

10 So, probably everyone knows why home
11 electrification matters, we'll just talk about it a
12 little bit more. But mostly, we'll be talking about
13 electrical panels and how we can avoid upsizing both
14 panels and service. Again, to be more cost-effective
15 and quickly electrify.

16 Quick note, similar to Josie and Tom, we're
17 just going to be focusing on single family homes today,
18 because there are just slightly different needs in
19 multi-family, the way that their electrical systems are
20 set up. So, we will be focusing on single family -- not
21 that electrifying multi-family isn't really important,
22 it's just -- has a little bit of a different situation.

23 So, why? Why does it matter? Probably a lot
24 of folks on this call already know that there's a ton of
25 benefits. The big one, obviously, is climate change

1 related emissions. As we know, about 25 percent of
2 emissions in California are related to buildings.
3 Obviously, those aren't all residential, but residences
4 do constitute a huge amount of those emissions.

5 This is less related to decarb, but I still
6 think it really matters. There's also a big health and
7 safety issue at play in electrifying our homes. So,
8 recent research from the Harvard School of Public Health
9 and others has found that gas combustion inside homes,
10 and the leaks associated with the gas distribution
11 system, which have been found to be much higher than
12 previously understood, contain a lot of toxic chemicals.
13 And when released in the home, can lead to a number of
14 health issues, all the way up to cancer. As well as
15 just safety risks around combustion et cetera.

16 So not only is electrifying homes really
17 beneficial for the climate and the environment, but it's
18 also actually really good for human health. So, in
19 order to hit those goals that Eddie shared right at the
20 top, we need to be able to convert our homes to all
21 electric as quickly, equitably, and cost-effectively as
22 possible.

23 And that's really important in California.
24 Unlike some other states, we actually have a pretty low
25 number of all-electric homes. The number that we found

1 from the Energy Information Administration is about
2 eight percent of California homes, that's not just
3 single family, that's all homes. And if you were
4 noticing in Joe's presentation, you saw that a lot of
5 our hot water heaters are gas. We just had such strong
6 natural gas infrastructure in California for so long,
7 we're actually kind of late to the game on all-electric
8 homes. Florida has about 77 percent of homes are all-
9 electric, so we definitely want to get back our
10 leadership status on this as quickly as possible as a
11 state.

12 And one key way to do that, in order to
13 electrify your homes -- this has already been alluded to
14 today but it is really important -- is the electrical
15 panel. It's sometimes its perceived as a barrier to
16 electrification, but it can also really be an
17 opportunity to allow us to electrify, if we do it in a
18 way that's really smart. Which, again, we'll talk
19 about.

20 So, there's a lot of single-family homes.
21 Based on where you are in the state, you can have maybe
22 an even older home. So, the median year of homes built
23 in San Francisco and Berkeley for example is 1942. So
24 that's some pretty old housing stock. It's newer in
25 other parts of the state.

1 Why that matters, is it gives you a rough
2 sense of maybe where electric panel service to homes
3 actually is. So up until 1962, 1960- the 60's roughly,
4 that's when the National Electric Code started to
5 require 100-amp service as the minimum going into homes.
6 It's now 200-amps for all new homes. But for homes
7 built before the 60's, it would be -- you could expect
8 to find 60 amps or less service. So, my fixer home had
9 about 30 amps of service when we bought it, so we did
10 need to do an upsizing on our service.

11 But for homes that have 100 amps or greater,
12 which roughly the 60's and newer, which is a lot of
13 homes in California, might not need to do an upsize or
14 an upgrade in order to electrify. Which again, saving
15 time, saving money, saving the workforce that Josie and
16 Tom talked about. So, I really focus on doing things
17 like getting those amazing heat pump water heaters into
18 more homes more quickly.

19 So, like I said, here's the big point. This
20 is -- CEC even found in their own study. They assumed
21 that homes 1990 and newer might need a new panel and
22 service upsizing. It's really hard, unfortunately, to
23 get great data on exactly how many homes need an upgrade
24 or an upsize and where they are. But suffice to say,
25 it's a really big dollar number. So, if you can avoid

1 that and still have, like, a really lovely quality of
2 life in your home and be really safe, get that gas out
3 for all those health reasons we talked about, that is a
4 major win. So, let's talk about that a little bit more.

5 Like Josie said, average in her area is \$3-
6 \$5,000 for an upgrade, that's if you don't have to cut
7 the trees and you don't have to move the panel because
8 it's near your gas service or your water service or some
9 other issue. The utilities require all kinds of safety
10 standards about where they're put on the building. If
11 you need to move it because of one of those things, if
12 your lines are underground and not coming over to your
13 house they can be even more expensive. So, this can
14 truly be a large amount of money. Which, again, you
15 could replace all of the appliances in your home for
16 that amount of money. So, it's really worth trying to
17 save it if at all possible.

18 It also can take three to six months on
19 average. So, Redwood Energy and NV5 did a study with
20 several of the utilities in California to collect this
21 data. Three to six months was the average. Heard even
22 worse than that, up to nine months. So again, if the
23 goal is to electrify as efficiently as possible and as
24 quickly as possible, every time we can save this time
25 and this money for somebody, we're really making good

1 progress.

2 So that last number was actually just on the
3 electric panel upgrade, so that's the hardware and
4 running all the wires to do a new panel. There's also
5 potential cost of a service upgrade. So, that's not
6 within the home that's all of the utility's
7 infrastructure that's associated with these panels.

8 Tom mentioned it just a little bit. For
9 example, like the transformer at the top of your pole if
10 you live somewhere where there's not that many people
11 that share your transformer, or there's an overload on
12 the transformer and it needs to be upgraded. There is
13 potentially significant costs, again, associated with
14 that.

15 You definitely won't necessarily always see
16 this cost, but for some folks, this will definitely show
17 up. It's just another reason if you can avoid it, it's
18 not only good for you, it's better for the grid. We
19 hear a lot about concerns about the grid being able to
20 support if we all electrify. Well, there's ways to
21 electrify that are not as efficient and those actually
22 could be problematic. But if we can do it efficiently,
23 then a lot of us can electrify very quickly before it's
24 problematic for the grid. So, again, just reasons why
25 this approach is really important to know about and to

1 try to implement as much as possible.

2 Like I said, definitely some homes are going
3 to need an upgrade. My home definitely needed an
4 upgrade, I think it almost made the electricians pass
5 out when they first came it was so bad. If there's been
6 damage to the equipment, of course we need to address
7 that and make sure that homes are safe and have the
8 service that they need.

9 Even with getting an upgrade or an upsize of
10 your equipment or your service, it still is really
11 helpful to know about some of the strategies that we're
12 going to talk about so that you don't accidentally
13 oversize your equipment and mean that you're paying a
14 lot more money than you need to, to actually do what you
15 want. So, there are stories of people wanting, like
16 400-amp service because they're trying to do all this
17 stuff and they're just using like an itty, itty, bitty
18 bit of that service. So, it pays to be really
19 efficient, and to try and make a plan for doing that
20 whole home electrification like SB 68 is trying to
21 incentivize.

22 Okay. So, let's actually talk about how you
23 might electrify your home without upgrading or upsizing
24 your panel or your service. So, there's kind of two
25 main strategies. One, is panel optimization and whole-

1 home electrification planning. The other one is
2 technology and devices. I'm not going to speak to
3 technology and devices because Josie and Tom covered
4 that super well, so I'm mostly going to focus on
5 strategy number 1.

6 So, the basis of this strategy is for a 100-
7 amp panel or greater, you can optimize your use of it.
8 Which means, you already have all of those hundred amps.
9 How can you plan to use them as efficiently as possible?
10 Through the appliances that you choose, and through
11 planning how they all fit together.

12 So, for example, Joe mentioned that 120-volt
13 heat pump hot water heater. There are 30-amp versions,
14 and there's 15-amp versions of hot water heaters. Both
15 of them will give you lovely toasty warm showers for
16 hopefully not too long, because we also need to save
17 water, but long enough to get you clean and warm and
18 cozy in the morning. You probably don't care if it's 30
19 amps or 15 amps, as long as it's getting you hot water.
20 So, if you choose the 15-amp, the more power efficient
21 version of that appliance, you're then able to have
22 greater capacity on your panel at large.

23 Load sharing devices can also come into play
24 here, but you can really go a long way with just a 100-
25 amps. So, this example on the right just gives you a

1 picture of each of the -- for example, each of the
2 circuits in a home, the volts and amps of those devices,
3 how it all adds up, you can see that at the bottom.

4 This is for a 2,000 square-foot home. It has
5 all of the amenities. It's got solar, it's got EV
6 charging, it's got those amazing heat pump HVAC systems,
7 which are really loved because they help keep homes even
8 more comfortable. I think one of the ways to think
9 about it, I'll talk about it a little bit later with
10 power efficient, is like kind of the difference between
11 sipping a beverage versus just taking it all in one
12 gulp. So, thinking about choosing appliances that are
13 sippers rather than like big gulps.

14 Here's just a little bit more detail about
15 strategies to optimize this panel capacity. So, the
16 first one I said, it really is the big one, just
17 choosing power efficient versions of appliances. So, if
18 you're getting an induction stove, there's 40-amp
19 versions and there's 50-amp versions. I think there's
20 maybe even a 30-amp, you know, full range that you could
21 get, stove and oven. Same functionality, you can cook
22 everything you want, you can have an amazing
23 thanksgiving dinner. So, you probably don't really care
24 if it's 30 amps or 50 amps as long as it's doing what it
25 wants. And your electric panel would really prefer if

1 you did the 30-amp version. Same with heat pumps. It's
2 true for almost all the technologies available today on
3 the market that you can get.

4 The second point -- this is a really classic
5 CEC energy efficiency point, and it still actually
6 really matters for electrification. And it's not sexy,
7 but it's actually also not that expensive. So, reducing
8 the heating and cooling loss in your home by insulating
9 and air-sealing. A lot of older homes, and we've
10 already talked about older homes, don't necessarily have
11 either good or any insulation. They don't necessarily
12 have good air sealing around the windows.

13 If you work to reduce the load, and as Joe
14 already showed, the biggest electrical load on many
15 homes, if you switch to all electric, is that HVAC
16 heating cooling system. So, if you make your system
17 have to do less, then you can get a smaller system and
18 still get perfect comfort. And again, uses less power,
19 uses less energy, everyone wins.

20 Paul talked about oversized EV chargers.
21 We've already talked about pausing circuits and circuit-
22 sharing devices. The last small one, it's not
23 necessarily an issue for a lot of folks but thinking
24 about like a 2-in-1 appliance, a lot of people don't
25 think about your oven and your cooktop being a single

1 appliance. But you can, you know, get separate wall
2 ovens and separate cook tops. So just thinking about
3 getting those in one is a little bit more efficient.

4 So. I talked really quickly about power
5 efficient appliances, here's just another explanation.
6 If you're familiar with energy efficient, power
7 efficient is very similar. Two common misconceptions --
8 you're going to be less comfortable, you're somehow
9 sacrificing. You're definitely not. You're still going
10 to get that hot water, you're going to be able to cook,
11 your car will be able to drive. But just instead of
12 gulping, you know, the electricity and energy into those
13 systems, they do it more gradually over time. And
14 easier on the grid and everything. And they're also not
15 necessarily more expensive. So, don't have to be afraid
16 of either, more use or not.

17 This graph is similar to the one that Josie
18 showed. Every bar is a home. So, one of the questions
19 you might be having is, like, "But is there enough
20 capacity to actually do this?" So, this is 82 homes
21 from a study that Home Intel did about the capacity.
22 You can see over here on the left the number of amps
23 coming into the home for their service. Blue is their
24 peak used capacity, and then orange is what's available.

25 So, for example, you can see this poor person

1 who thought that they needed 400 amps and they're only
2 using this very, very tiny amount of power. So, here's
3 all the folks over here on 100 amps, there's still a lot
4 of capacity on those panels that are not getting
5 utilized. So, but -- excuse me. This is just a great
6 example of available capacity to electrify without
7 making any change to the panel or to the service.

8 Again, Tom and Josie already talked about
9 panel calculations. There's a couple of ways to do
10 this. Your electrician can help you. There's starting
11 to be some tools to help you chose which calculation
12 option is better. So, you can go and check out
13 zerocarbonhome.com, some great tools like that and
14 others to figure out how can you electrify in a way
15 that's totally legal to the code and helps you do it
16 without that upsizing.

17 Just, this is a quick visual example of what
18 that looks like. So, here's the calculation option,
19 220.83B, it's like the bottoms up, you just look at the
20 nameplate rating of your appliance. This is 220.87,
21 where you look if you've been living in a home. Again,
22 this is all existing building focused. If you live in a
23 home and you have your power, your energy use history,
24 you can kind of plug that in, add a little buffer, and
25 then start to say, like, "Okay, if I want to add one of

1 Joe's amazing heat pump water heaters, do I have enough
2 space?" And on this calculation, absolutely you
3 definitely do. If you're using this calculation, you
4 definitely don't. Both of them are totally legal in the
5 code. So, just a good -- just a great thing to know
6 about.

7 And then lastly, there's also what's actually
8 happening in practice. So, not all loads are going to
9 be coincident all at the same time, or it's very, very,
10 very unlikely unless you're throwing a huge party and
11 doing kind of everything all at once. So, again, the
12 point here is just there's a lot of essentially kind of
13 wasted opportunity right now in our panels, that we
14 could do a much better job of utilizing.

15 Quick summary, I think the thing that I'll say
16 here is what's most needed is more support, more folks
17 who are able to do that whole-home electrification
18 planning to really help people think about choosing
19 appliances, sequencing, that kind of thing. And the
20 IRA's come out with even more incentives. There's
21 already some incentives around appliances, but really we
22 need more support for low-income homeowners to do this
23 planning, to purchase appliances, and then also to do
24 some of the electrical work that will inevitably be
25 needed. So, more support in all of those places I think

1 would be really helpful.

2 Like I said, not going to talk about
3 technology, because that was already really well
4 covered. But, if you only have a 100-amp panel and you
5 wanted to get a little fancy or do a little bit more,
6 these devices are a great way to allow you to do it
7 again while still being kind of grid-friendly.

8 Already mentioned a few of these other
9 considerations. Non-mechanical home systems are really
10 important. Energy efficiency is still really important,
11 insulating is really important. Choosing appliances and
12 tools that can help manage that peak load, that's really
13 the biggest issue for the grid. So, it was mentioned
14 earlier, heat pump water heaters are basically like big
15 thermal batteries. You can heat your water while the
16 electricity in California is really cheap, and while the
17 grid is not over-taxed, and then you can kind of cruise
18 through those peak periods with plenty, plenty of hot
19 water just sitting in kind of your thermal battery. So,
20 a lot of these choices also support grid-optimization.
21 And some of them can even play and be supportive in like
22 demand response situations.

23 Lastly, we have a lot of great electrical
24 talent in the state. We need even more to be able to
25 electrify in the way and at the rate that we need. So,

1 one of the things that optimizing your panel will do is
2 reduces the amount of load on the existing workforce,
3 and that available talent to really focus on the highest
4 value of electrification work while we continue to build
5 up the workforce to be able to do all of the other work
6 that we need.

7 So, avoid panel upsizing if all possible. A
8 lot of people can do it, you're not going to be
9 sacrificing anything, you're just going to be saving
10 money, saving power, being a great grid-citizen. And if
11 you do have to upsize, which definitely does happen,
12 some places do have incentives to support that, but
13 think about trying to do it as efficiently as possible.
14 So that again, you're not overpaying and the grid's not
15 getting overtaxed.

16 Last quick note, there's some amazing research
17 that's getting started by LBNL and NREL, funded by the
18 DOE, to really look at, like I said, the data's kind of
19 all over the place on this -- but really looking at
20 electrical panel infrastructure upgrades to home
21 electrification projects. Not just in California, but
22 in the U.S. to highlight least-cost pathways to
23 electrify. So, they're looking at a lot of the stuff
24 that we talked about, but in even greater depth and
25 detail. So, stay tuned for some really great research

1 coming out of that work.

2 If you want more resources, there's great
3 guides here on choosing various technologies and
4 appliances. There's some consultants and contractors
5 you can find. The Switch Is On has a ton of great
6 information, both about incentives. You can plug in
7 your address, and it can tell you what incentives are
8 available where you live for all different kinds of
9 things, as well as give you a list of contractors who
10 can help you do this work.

11 Thank you so much.

12 MR. ROSALES: Hannah, thank you. That was a
13 great presentation. We -- a couple remarks real quick
14 for everybody on the line. All the panelists who are
15 going to stay for Panel 1 Q&A, Joseph, I know you gotta
16 transition off really soon. If you could turn on your
17 cameras, we're going to transition right into the public
18 Q&A session. So, it looks like there's a couple hands
19 up, it looks like there's some questions waiting in the
20 Q&A chat, we'll get to those in a second. Dorothy
21 Murimi, she's our Public Advisors Advocacy Office, she
22 will assist us with facilitating public comments and
23 questions here.

24 So anyone -- again, I want to thank all the
25 panelists of Panel 1, all the presenters for your

1 presentations, for your comments, that was great. I
2 want to remind the stakeholders who are attending the
3 workshop today, that all the presentations, all the
4 materials or examples of those hard requirements I was
5 speaking about as I did the overview, so these are items
6 that again, items that are actually getting installed
7 into a building that will be helpful and efficient to
8 help you decarbonize or fully electrify the building
9 you're interested in transitioning from, maybe from
10 mixed-fuel to all-electric, or at least taking steps
11 toward that way. So those are great examples.

12 I want to remind folks also that we have the
13 Request for Information and our Question 1 and all the
14 sub questions under Question 1, we are really in
15 response to some of the requirements. Again, devices,
16 appliances, and equipment that go into a building. And
17 so, the presentations today hopefully inspired everyone
18 to understand that better in terms of what can be
19 helpful. These are all market-ready technologies, none
20 of this is behind the curtain or in kind of research and
21 development. So that's one really important thing to
22 keep in mind.

23 So, with that, Dorothy, I will hand it over to
24 you. I won't -- we will go straight into the public
25 comment and question period. Thank you.

1 MS. MURIMI: Thank you, Heriberto. And hello,
2 everybody. I'm going to be working with Gabe Taylor on
3 this. So, why don't we start with some folks that are
4 on Zoom raising their hands for comments, and then go on
5 to Q&A. And we can work on that interchangeably.

6 We'll start with Randy Kim, and then followed
7 by Anthony Fournier. Apologies if I've misstated your
8 name. Go ahead and unmute on your end, Randy, and you
9 may ask your question.

10 MR. KIM: I don't have any question at this
11 point.

12 MS. MURIMI: Okay. Thank you, Randy. Why
13 don't we start -- and once again, this is for -- we're
14 doing Q&A first, and then moving on to public comment.
15 So, let's go on to Pat Burt.

16 MR. BURT: So, I don't know whether -- mine
17 are more comments as opposed to questions.

18 MS. MURIMI: Well, we'll have a moment for
19 comments a little later.

20 MR. BURT: I'll wait.

21 MS. MURIMI: Okay. Thank you.

22 Why don't we move on to folks that are on Q&A
23 right now. Let's start with Gonzales Stavel (phonetic),
24 and apologies if I've misstated your name. First one
25 is, "Are there any programs via NFPA or utilities to

1 start demand charges for residential? Average panel
2 utilization in Spain is 80 percent. Average 1,500
3 square feet house only has 285 a-main, because on
4 average 4-Euro per kilowatts. Demand charge forces
5 homeowners to stagger loads and continuously look at
6 reducing contracted capacity."

7 So, Tom, I see your hand raised.

8 MR. KABAT: Yes, thanks. So, I'm glad Gonzalo
9 brought up that question. I've got a long history in
10 electric and gas utility planning. And what we see is
11 other countries are more advanced about how they bill
12 for different electric services.

13 For example, in Japan, the customers pay on a
14 per amp connection fee. So then, each customer is
15 wanting to do their own amp diet just to get down to a
16 smaller connection to the utility, a gentler connection
17 to the utility so they can save on their bill. It's a
18 thing I think we should be looking at here in
19 California, it's a way to generate a revenue stream for
20 the utility that would help decrease, then, the amount
21 we have to charge for the actual electricity. And so
22 that will help make electrification more affordable.
23 So, thanks for raising that.

24 MS. MURIMI: Thank you. Thank you, Tom. So,
25 I see one more hand on Zoom for questions. Karl

1 Johnson? Go ahead and unmute on your end, you may ask
2 your question, Karl.

3 Again, that's Karl Johnson?

4 Seeing no communication there, let's go to
5 Enrique. This is for questions, again.

6 MR. RODRIGUEZ: Oh, hi, yeah. Good afternoon,
7 or good morning actually. Thank you so much for taking
8 my question. This is Enrique Rodriguez, Building
9 Standards Commission. My question was regarding, I
10 think it was for Tom, regarding the use of the tankless
11 water heaters for being electric. And it was my
12 understanding that if there was gas available at the
13 site, I know some local jurisdictions require the
14 installation of gas tankless water heaters versus
15 electric. And I just wanted to hear a little bit about
16 that.

17 MR. KABAT: Yeah, so I might ask CEC
18 Commission, or CEC Staff to also weigh in on this. But
19 I believe that aspect of the building or energy code
20 used to exist, and has been fixed in the 2000 --
21 somewhere along the course of the 2016 code. I believe
22 the Energy Commission came out with the clarification
23 that electric heat pump water heaters can be installed
24 where there is gas service for water heating, and that
25 it was an easy transition over to that, very little

1 paperwork. But maybe the staff can verify that?

2 MS. GAILLARD: If not, I could also jump in.

3 Not to answer Tom's question, but to say that generally,
4 gas tankless water heaters and electric tankless water
5 heaters are going to be a problem for us going forward.
6 Both the gas -- you know, you often have to increase the
7 gas line coming into the house from a one-inch pipe to a
8 one and a half inch diameter pipe. So, you just have
9 all that much more methane that's being piped through
10 the system to service that.

11 So, from a client perspective it's a problem,
12 from the state reaching its greenhouse gas goals it's a
13 problem. We find it's a problem, because once you get
14 rid of that space that once had a tank in it in your
15 home, it's very hard to then find a space in the home
16 again for the tank water heater. Which, if you're going
17 to use a heat pump, it's going to have to have a tank.
18 So that's the problem we see.

19 And if you did decide, let's say you have gas
20 tankless, you can't find a space in your home anymore
21 for a tank water heater, and you decide to go to
22 electric tankless water heaters, those just require a
23 ton of current. So, sometimes a 40-amp, sometimes two
24 40-amp circuits just to heat up your water instantly.
25 So, it's just a huge load both for the home, so you're

1 definitely going to have to upsize the panel, and you're
2 going to have a huge impact on the grid, negative impact
3 on the grid.

4 So, for people who have gas tankless water
5 heaters or who are contemplating it, don't do it. And
6 if you have one already, you know, the good thing for
7 climate and for the state is going to be to go back to a
8 tank water heater, and specifically a heat pump version.

9 MR. WACHUNAS: If I could just jump in before
10 anyone else weighs in on code -- I'd love to say just
11 pile on that and say that, you know, in our work we find
12 a lot of -- there's this mistaken idea that gas tankless
13 water heaters are more efficient and greener. And
14 together, I think we kind of need to work against that
15 idea. Even though there is no tank that's sitting there
16 all day, the heat pump water heaters, the tanks are very
17 insulated, they lose very little, and they're still,
18 again, three to five times more efficient. So, helping
19 to answer that mistaken idea that gas tankless water
20 heaters are a green solution is a mistake.

21 And I'll just put a link in the chat to what
22 Tom mentioned before, they also -- there's a great
23 Stanford study that shows how every time they light up
24 they emit a puff of methane. So, they have even
25 additional effect on the environment.

1 MR. TAYLOR: And this is Gabriel Taylor,
2 Senior Engineer for Decarbonization at the Energy
3 Commission. I -- there was a question about Title 24.
4 The building standards historically in California, for
5 cost-effectiveness reasons, have preferred natural gas
6 going back to the 1970's. But over the past two
7 building cycles, and definitely in the current building
8 cycles under development, our Staff are very much
9 looking at how to streamline and make sure that there
10 are no barriers to electrification. We will also work
11 with local jurisdictions frequently on local government
12 reach codes that are more efficient than the state
13 minimum Title 24 Part 6 building code.

14 So, Dorothy, I think we're going to do a
15 couple questions, yeah a couple questions from the Q&A.

16 So, a question from Jeffrey, "Do we have any
17 data on average pause times for circuit pausers with EV
18 chargers? Is this typically a minute-level pause or
19 possible multiple hours?"

20 MR. KABAT: So, I'll take that one. The way
21 that the circuit pausers are built, a couple that I've
22 seen on the market, they're continuously monitoring the
23 main panel. And when it gets to the 80 percent loading
24 level, then they pause the circuit. And they check back
25 15 minutes later to look at the condition of the main

1 panel loading. And if it's now back down where they
2 have space, they will reload at that point.

3 And from looking at those various bar graphs
4 that both Josie and Hannah showed, those little occupied
5 zone in the bottom of the bar, that was the highest 15
6 minutes of the year for each of those houses. So, it's
7 very -- you know it's a rare event that something gets
8 paused, and then 15 minutes later the device is looking
9 to return it.

10 MS. GAILLARD: Yeah, I'll also jump in on
11 that. Tom's right. We also spoke with the founder of
12 one of the smart panel companies that spun out of Tesla,
13 which is SPAN. And I was curious to know what his data
14 had shown in their kind of early installations, how
15 often the SPAN panel actually kicks in and pauses a
16 circuit.

17 And his comment was that over the course of a
18 year, the SPAN panel might pause a circuit six times.
19 So, you know, that may be a little bit different from a
20 circuit pausing device, but it gives you a rough idea
21 that maybe the EV charging would be paused six times a
22 year. You probably wouldn't be aware of it, because
23 again, it probably paused for 15 minutes or so and then
24 resumed charging, and the homeowner is not even aware of
25 it.

1 MR. TAYLOR: Thank you. And a question from
2 Kevin Hamilton, "How do we learn more about the electric
3 service panel workgroup?"

4 I see Jenny has replied with a link to the
5 Build It Green panel optimization group. I'll put that
6 link into the general chat for everyone to see. And,
7 Dorothy, do we want to go back to Karl or do we want to
8 continue with the --

9 MS. MURIMI: Thank you. Thanks, Gabe. Karl?
10 Karl Johnson? You can go ahead and unmute on your end
11 and ask your question.

12 MR. JOHNSON: Okay, thank you. This is Karl
13 Johnson, Beyond Fire. Formerly of UC Berkeley and
14 Stanford. I was wondering whether there's any available
15 data on 120-volt heat pump water heaters? I know you're
16 doing the demonstration now, but are there sources of
17 lab or field data on these devices from overseas or
18 particularly for America?

19 MR. WACHUNAS: Yeah, thanks. I can jump in
20 first and other folks can feel free to chime in. Yeah,
21 Karl, it's definitely an emerging technology and we are,
22 as I mentioned before, we're in the middle of the field
23 study now. So, we're getting lots of good data on 120-
24 volt heat pump water heaters. So, I think the answer is
25 stay tuned, we're hoping to release the data early next

1 year after the field study. So, if you go to the
2 Advanced Water Heating Initiative website, we'll have
3 lots of good information. But we're installing them now
4 in homes and getting a lot of good data.

5 MS. MURIMI: Thanks, Joe. Back to you, Gabe.

6 MR. TAYLOR: And Scott Blunk from Sacramento
7 Municipal Utility District asked, "Can we talk a little
8 bit about the noise that heat pump water heaters make?
9 Is that a concern, and what can we do about it?"

10 MR. KABAT: So, I read Scott's question to be,
11 "What is the noise a gas water heater makes? And
12 there's a number of different types of gas water
13 heaters. I had the old, the very common old passive gas
14 one, which didn't have an electric circuit, and it was
15 relatively quiet.

16 In walking around the neighborhood, I can hear
17 peoples tankless gas water heaters go on. They are
18 louder than my heat pump that heats my whole house,
19 because they have a fan in there that's a small fan
20 blowing hard to move combustion products around and out
21 into the neighborhood. The other loud type is the fan
22 force tank water heater that my next-door neighbor had
23 that sounded basically like a jet taking off. But he
24 then put a kind of a ducted vent on it that gave it a
25 little more silencing.

1 So, the electric versions of gas fired water
2 heaters are louder than heat pump water heaters. But
3 heat pump water heaters are a new noise in the home.
4 For me, mine sounds like victory, but that's just me.

5 MR. TAYLOR: Apologies to Scott, I did mis-
6 read his question. Thank you for paying attention, Tom.

7 So, Gonzalo asked another question, "Are there
8 vendors that sell heat pump water heaters without the
9 electric resistance or maybe a 1500-watt version like
10 the European versions? Most big box stores have a very
11 limited supply of heat pumps right now."

12 MR. WACHUNAS: Yeah, that will be the 120-volt
13 water heater. Well -- not -- well some of them will
14 have electric resistance elements but the, I believe the
15 new Rheem does not have the electric resistance element
16 in it. And those are available, I believe, in Home
17 Depot stores now, they released them in July.

18 MR. TAYLOR: Okay. Hannah, a question for
19 Hannah from Laura, "On the available capacity slide, do
20 you have data on how many of the homes you showed were
21 actually fully electric homes?"

22 MS. BRUEGMANN: Yeah. Unfortunately, from the
23 HEA data, I don't. I should go back and get it. But if
24 you recalled the slide that Josie showed with the little
25 blue at the bottom and the green at the top, two of

1 those homes were all electric. And the available
2 capacity on those was almost the same as for the homes
3 that still had some gas. So, I'll have to go back to
4 HEA and see if they can give that all-electric
5 information.

6 MS. GAILLARD: I know a little bit about the
7 HEA data. I would assume it just represents the general
8 population in California, that there's no particular
9 concentration of electric homes in it, and there are
10 probably very few electric homes in it. So.

11 MR. TAYLOR: And Brennan Less asks, "How do we
12 find the appliances that sip rather than chug
13 electricity? The lack of transparency and ease here, I
14 think, is an important barrier. We need consumer and
15 center resource to make this easier."

16 I'll answer that directly, and presenters are
17 welcome to jump in. But that's the purpose of this
18 workshop and of the SB 68 effort. Obviously, there's
19 Energy Star at the federal level, Energy Commission has
20 appliance standards that ensure that inefficient
21 appliances are prohibited from sale in the state of
22 California. But efficiency is absolutely the first step
23 in building electrification and building
24 decarbonization.

25 Do any of the panelists want to jump in?

1 MR. KABAT: Yeah, I'd like to build on that
2 also, Gabe. So, the -- when looking at overall energy
3 efficiency, that's slightly different than power
4 efficiency. And for example, the energy -- the energy
5 efficiency of two different heat pump water heaters, a
6 30-amp and a 15-amp is nearly identical in those UEF's.

7 So, you know, that's it. But the 15-amp
8 versions have half the panel loading as the 30-amp
9 version. And then, the 120-volts are going to be having
10 much less than that. So, the 120-volt units are down
11 around just the 3 to 500 watts of the compressor, and no
12 backup resistance heating within it.

13 So, we definitely need more exposure on both
14 the, you know, putting the power requirements next to
15 the energy requirements. And so that's going to be a
16 great thing for this website to focus on and give the
17 consumers that right thing. You know, we've got Federal
18 Energy Star. I've been asking, can we have Power Star
19 ratings also for these appliances that sip so people can
20 go quickly screen?

21 MS. GAILLARD: I was going to add, the Powe
22 Star comment, which is Tom's idea. And we have floated
23 that by DOE folks, Department of Energy folks, and
24 they've passed it on to EPA folks who run Energy Star.
25 But, if the feds don't do it, it might be an opportunity

1 for California actually, which is to produce a list or
2 some sort of badge that could go on power efficient
3 equipment similar to the Energy Star label. So, maybe
4 that's something where California wants to take a lead
5 and help guide consumers toward these power efficient
6 devices.

7 MR. WACHUNAS: Just jumping in real quick --
8 Tom, a couple of the 120-Volt versions will have a
9 backup electric resistance in them, and a couple will
10 not.

11 MR. TAYLOR: And, related -- how can we find
12 information about the lab and demo data on the 120-volt
13 heat pump water heaters?

14 MR. WACHUNAS: I'll put a link in the chat
15 where folks can get updates.

16 MR. TAYLOR: Thank you, Joe.

17 So, Dana asks, "Control systems and efficiency
18 look like great options, but will spread out the load
19 curve and may affect demand-response capabilities. Is
20 there a tool that also includes load-shaping to balance
21 capacity optimization along with peak and or demand
22 pricing?"

23 I would -- the Energy Commission does have an
24 open load management standards proceeding, where we are
25 working with the five largest utilities in the state to

1 try to bring a marginal rate to consumers for their use.
2 And there are a number of protocols for automating
3 demand-side optimization. Certainly, if we are looking
4 at peak shaving for capacity for circuit sharing, that's
5 going to reduce the opportunity for peak shaving for
6 demand-side management. But it's just a matter of which
7 is more valuable.

8 COMMISSIONER MCALLISTER: Hey, Gabe. This is
9 Andrew McAllister. I wanted to jump in here actually
10 just -- I think this is a really great synergy that
11 we're talking about, and I wanted to just dwell on it
12 for a second. So, Gabe just mentioned the load
13 management standards, and those are in development and
14 they'll just ensure -- part of the key piece of that
15 rulemaking is to ensure that any time-based rates are on
16 a platform that is universally accessible. So, in the
17 cloud, machine readable, all the time-based rates for
18 the utilities will be required to be there prior to
19 their actual effective moment when they become
20 effective.

21 And so, that will open up all sorts of
22 pathways for automation and for load flexibility. And
23 certainly, for third parties to figure out how to kind
24 of help customers respond to pricing signals, carbon
25 content signals, and flex alerts. So that will really

1 be transformational over the coming few years, I think,
2 where you'll see a lot of creativity in this space and
3 certainly in the C&I sector. But definitely in the
4 multi-family and residential sector more broadly, with a
5 little bit of time.

6 The second thing I wanted to mention is our
7 flexible demand appliance standards. And this goes
8 right to the point that was -- the question that was
9 just made. We're starting with flexible pool pump
10 controls. And basically, over time we'll incorporate
11 more end-use devices, including water heaters, and it
12 will basically require native load-flexibility for any
13 device in that category that will create an order for it
14 to be sold or offer for sale in California.

15 So, we're setting up the point I think here is
16 that the load flexibility space is becoming much more
17 highly articulated over time. And demand-response is
18 just not really the -- it's a blunt term, it doesn't
19 really capture the whole thing. So, load flexibility is
20 more like the permanent load shaping, increasing as all
21 of you have been discussing, increasing the load factor
22 for the grid, right? That optimizes the use of the
23 grid, the higher the load factor the more effective your
24 capital investments are.

25 But that is not to say that that will displace

1 demand response completely. There will be some sort of
2 event-dependent capacity still available for dispatch if
3 the price is right. And so, I think these two sort of
4 supply side and demand side flexibility as kind of part
5 underneath that whole kind of demand response sort of
6 umbrella, I think those two things are going to each
7 come into their own much more clearly and be
8 complimentary over the next five to ten years.

9 And so, they complement energy efficiency
10 quite well, and all of the work, you know, I think smart
11 panels and some of the technologies you all have
12 discussed today will really facilitate that marketplace
13 to take shape as well. So, anyway, apologies for the
14 soliloquy here, but I just wanted to connect some dots
15 and I think, you know, we're trying to build platforms
16 from our position so we're leveraging in the best way we
17 know, our position as a regulatory body, as a standards
18 making body, to set up the platform that reduces the
19 transaction costs and really makes these responsive load
20 flexibility really more accessible to everyone, and more
21 effective for the grid as a reliability resource and as
22 a cost reduction resource.

23 So, you know, we have the opportunity here to
24 as we electrify transportation and buildings, and you
25 know the website is key, you know, a key part of that,

1 to put some downward pressure on electric rates, which
2 would be something new and different. Right? It's
3 necessary for all sorts of reasons. So, I think we're
4 all rowing in the same direction and I'm just really
5 thankful to all of you for your presentations and your
6 fundamental work on this, I think this is really
7 groundbreaking stuff and looking forward to
8 collaborating.

9 MR. TAYLOR: Thank you, Commissioner. We have
10 two more questions. First is on workforce, and the
11 second is on funding. So, the first is, "How will
12 California accelerate addressing the workforce training
13 needs identified this morning?"

14 This is a big question. We've had a number of
15 workshops over the past year or two talking about
16 workforce. Do any of the panelists want to weigh in?
17 Or Commissioner?

18 MR. ROSALES: Actually, I was thinking of
19 putting this one to Hannah, if she could touch on it.
20 And then Paul as well, if you could touch on it from
21 your perspective. Thank you.

22 MS. BRUEGMANN: I think the answer is more
23 needs to be done. There's some great programs like
24 Rising Sun Center for Opportunity that are working to
25 really -- and Emerald City's Collaborative, that are

1 really working to educate folks in building
2 decarbonization, green jobs, green energy related
3 sectors, giving them those really solid skills.

4 It's definitely not enough. I know there are
5 conversations happening about how to better support
6 that. But I think my biggest answer is we need to do
7 more.

8 MR. NIJSSEN: Yeah. I'm trying to get in
9 contact with these people, actually, from the Rising
10 Sun, to help them, actually, with a program. I mean, I
11 trained electricians for EV charging stations, but I'd
12 love to get in contact with these people so that we can
13 really do something and get more people involved so that
14 we can build faster the EV charging infrastructure.
15 Yeah, sorry.

16 MS. BRUEGMANN : I can connect you, Paul.
17 Just a quick note, is the residential existing building
18 retrofit sector is kind of the least well-paid, least
19 well-protected of all of the kind of construction jobs
20 out there. So, continuing work at the state level to
21 make sure that folks who are working in those places are
22 getting, you know, protection, they're getting paid
23 well, they have support and education, I think is a
24 really important part of this whole decarbonization
25 journey.

1 MR. WACHUNAS: I'll just add that there's a
2 couple elements that are -- around workforce development
3 there's contractor development, there's workforce
4 development. We're really interested in heat pump water
5 heaters as a low barrier to entry opportunity for
6 workforce development. It kind of depends by state,
7 but we're working with Emerald City's Collaborative here
8 in Oregon where you can get a certificate to install
9 heat pump water heaters as long as you don't do
10 electrical work, after around three months of training.
11 So, we see that as a really low barrier entry point for
12 workforce development.

13 And so, if we can identify those and move
14 forward with them across contractors and technicians, we
15 can move this really important electrification work
16 forward.

17 MR. TAYLOR: And additionally, Ralph DiNola
18 from the New Buildings Institute points out that there
19 are apprenticeship requirements in the Inflation
20 Reduction Act that will be significant in this space.

21 So, moving to the last question we have here
22 is about incentives, going back to the Inflation
23 Reduction Act. And the funding that's coming from the
24 state, it looks like we're going to be having a
25 significant amount of funding coming into the space over

1 the next -- over the near term. "How are you
2 considering these incentives, and how can we best
3 leverage these funds as they come into the market?"

4 Panelists?

5 MR. KABAT: So, I've taken a look at the IRA
6 and especially at the upfront discount part of it. It's
7 kind of interesting because they put a dollar amount on
8 all these different technologies. Like \$1750 upfront
9 discount for the water heater, \$8,000 for the heat pump,
10 \$840 for this electric stove and the heat pump clothes
11 dryer. Basic weatherization to help get our homes more
12 efficient, \$1,600. Electric wiring to go do these
13 circuits, \$2,500. A whole home energy reduction, for
14 making the whole home perform better, that will
15 definitely take pressure off the panel, at \$8,000
16 performance rebates.

17 Anyway, when you sum all these up, including
18 there's one of \$4,000 for an electric panel, the total
19 is \$27,000 but the limit is \$14,000. So, these eight
20 things need to compete with each other for your
21 attention. And what we've been showing you here is that
22 you'll be able to do this kind of panel optimization so
23 that you can free up those \$4,000 that you might have
24 wasted on a panel upsize and put them into these other
25 better things that we know you need to decarbonize. The

1 heat pump water heater, the heat pump space heater, the
2 cook top and the dryer and the circuit. So, it's like
3 they've kind of set this up so that there's going to be
4 a way for the site now to help people navigate what is
5 the best use of your money.

6 MR. WACHUNAS: I'll just add an important
7 thing on incentives that we hear from a lot of partners
8 is that, you know, when you have really exciting
9 incentives like the Inflation Reduction Act, or the
10 potential for the TECH Program to be re-funded --
11 looking for consistency and longevity is really
12 important. You can see that, for example, in heat pump
13 water heaters and heat pumps there's usually substantial
14 rebates that pay for some of the high upfront cost
15 differentials. And you can burn through that rebate
16 money really quickly and the market then gets this sugar
17 high where it's installing a lot of heat pump water
18 heaters, or heat pumps, and the rebates run out and then
19 that market then can crash. So, with an eye to
20 longevity and consistency is really important with
21 rebate programs.

22 MS. GAILLARD: Yeah, I would echo that. I
23 came from the solar industry, and California did this
24 right actually in providing solar subsidies, solar
25 incentives, starting in the early 2000's. And it really

1 gave the solar market a very long runway to develop,
2 ratcheting down incentives over time in a way that sort
3 of signaled to the market -- eventually, you're going to
4 have to function without a subsidy. So, anyway, I would
5 echo what Joe said, which is when there's a long-term,
6 you know, view of subsidies and they're predictable,
7 that allows small business owners to make big pivots and
8 feel confident that that subsidy isn't going to
9 evaporate. So, just echo that.

10 MR. TAYLOR: Ralph also asks if there will be
11 new incentive laboring workshops in light of these
12 significant funds?

13 I don't -- we don't have any scheduled at the
14 moment, but the Energy Commission's very proud of our
15 public process, and I guarantee you that we'll have
16 appropriate workshopping and other modes for
17 stakeholders to participate in any distribution of
18 funds.

19 MS. MURIMI: And just want to note, for our
20 call-in users, for those calling in, press star-nine if
21 you'd like to ask your question, and star-six to unmute
22 on your end.

23 Back to you, Gabe.

24 MR. TAYLOR: I'm told that the links that
25 we're posting to the chat are not working. Is that --

1 is there -- they should be working. We do get a copy of
2 the full transcript from the chat and the -- so we will
3 post links if that's the case to the docket.

4 MR. ROSALES: We'll follow up, I think Mark
5 added that comment. So, we'll follow up on that Mark,
6 we'll make sure -- we'll reach out to all the panelists
7 to make sure we have all the recommended links and then
8 we'll put them on probably on a separate document and
9 make it easier for anyone to access. Thank you for
10 that.

11 Okay, Dorothy. I'll give it back to you and
12 see if any more questions or comments out there.

13 MS. MURIMI: Yeah, we do have one from Brennan
14 Less. Brennan, you can go ahead and unmute on your end
15 and ask your question, and followed by Pat Birch.

16 MR. LESS: Yeah, hi, everybody. Brennan Less
17 from Lawrence Berkeley National Lab. I think Hannah
18 mentioned, you know, some work that we're starting to
19 engage on for the Department of Energy around thinking
20 about panel upgrades and, you know, avoiding them. And
21 part of that is looking at the National Electrical Code
22 and what in there is maybe, you know, not supportive of
23 sort of the low power electrification path we're on,
24 and, you know, what we can do to advocate to make
25 changes to that code that would be more supportive of

1 all of this.

2 I guess my question to the folks out there, is
3 what's happening to California in regards to that? I
4 mean, California is typically one or two code cycles
5 behind the NEC. And even if you look at, you know, the
6 upcoming 2023 code, there's already things in there that
7 are much more supportive of this kind of like low power
8 load management type electrification. And I'm wondering
9 what, if anyone, is thinking at the state level about
10 how, you know, California could interpret or speed up
11 its adoption of some portions of the electrical code
12 that are more supportive of this process. Thank you.

13 MS. GAILLARD: That may be a comment that sort
14 of stands on its own. But I would echo that, yeah, I
15 think there's huge opportunity because, as Brennan said,
16 California usually adopts the NEC at least three years
17 after, maybe six years after they, you know, launch it
18 at the national level, which is typical for states.
19 It's not like California is in some way particularly
20 lagging.

21 But when there are newer, you know,
22 opportunities in the code, maybe there's an opportunity
23 for California to take those pieces and adopt those
24 pieces earlier than it normally would. Or, you know, in
25 -- the NEC is a recommendation, and states get to

1 choose. There could be opportunities for California to
2 actually you know amend the code in ways that could
3 support electrification.

4 What we find is that the NEC is extremely
5 conservative. Hannah showed that graph, which was, you
6 know, the home that looks like the panel is maxed out
7 according to one section of the code. It's not maxed
8 out according to another section. And then in
9 actuality, it's even lower than, you know, than the less
10 conservative part of the code would indicate.

11 So, we think there's opportunities to -- you
12 know the code was developed to be sort of an
13 approximation and a very conservative one to avoid fires
14 in homes. Now, we have lots of technology that will
15 allow us to know what a home's, you know, actual load
16 is. So, let's use that technology and let's get smarter
17 and not use these very antiquated, kind of,
18 approximations when we're telling people how much they
19 can put on their panel.

20 MR. KABAT: And actually, these parts of the
21 code, they're to avoid nuisance tripping of the main
22 disconnect. So, there is that safety feature there
23 that's protecting the service line wire and the panel.
24 So, yeah. But I agree with Josie though, it makes sense
25 that the state is naturally grandfathering along older

1 versions of the NEC code and then the state has the
2 opportunity to reach forward and pick new things it sees
3 out of the more recent NEC code, combine the two, and
4 also create its own, because the NEC code is that
5 suggestion.

6 MR. TAYLOR: Yeah, here at the Energy
7 Commission, there's deep coordination between our
8 decarbonization team, and our billing standards team,
9 our appliance standards team, and research and all the
10 other branches. We are also coordinating with the CPUC,
11 the ARB, and a lot of the other players. So, I suspect
12 that these issues have been brought up already, but if
13 they have not been brought up in the appropriate context
14 in the appropriate proceeding, then they certainly need
15 to be.

16 Under this proceeding, we're looking to bring
17 the information available to consumers, local
18 governments to ensure that they have access. I think
19 we're at the beginning of a very exciting time.

20 UNIDENTIFIED SPEAKER: Shelly has her hand
21 raised.

22 MS. LYSER: Hi. This is Shelly Lyser, from
23 the Public Advocate's office at CPUC. I had a question
24 mainly for Josie and Tom. Very exciting information
25 you're presenting, thank you for sharing. I had a

1 question about whether the kind of circuit control
2 options and panel sharing can also be applicable for
3 multi-family buildings? You said your focus was
4 typically on single family and there's just a lot of
5 people in the state that are living in multi-family
6 residences. So, I was hoping you could speak to the
7 opportunities for those kinds of buildings.

8 MR. KABAT: Yeah, I'll address that. They are
9 very similar, and there definitely are even more
10 opportunities and needs to use circuit pausing and or
11 circuit sharing in multi-family. I'm doing some pro
12 bono work with a multi-family apartment that's trying to
13 electrify all their car charging on 60-amp circuits and
14 under. And so, it's pretty interesting, but we are
15 finding some of the best solutions look like they're
16 using some of these circuit pausers on that type of
17 thing so that, you know, essentially after dinners done
18 cooking then the circuit's available or, you know, the
19 device sees that the panel's now unloaded again and
20 there's room to be charging the car.

21 MR. TAYLOR: Looks like we're running a little
22 short on time, so I think we're going to cut the
23 discussion here and move on to the public comment.
24 Dorothy?

25 MS. MURIMI: Thank you, Gabe. So, for

1 individuals who would like to make a comment, we're
2 going to start the public comment session. And so, use
3 the raised-hand feature if you'd like to make a comment.
4 And again, for those calling in, press star-nine to
5 raise your hand and star-six to unmute on your end.
6 We'll have three minutes to give your comments, and one
7 representative per organization. There will be a second
8 public comment session later on today, so if we don't
9 have time now, we'll be able to handle public comment
10 later.

11 MR. TAYLOR: And then panelists, you can turn
12 off your camera. Thank you very much for your
13 attendance and for your excellent presentations.

14 MS. MURIMI: Alright. I see Pat Burt. Pat,
15 you may unmute and give your comment.

16 MR. BURT: Yeah, thanks. So, I'm Pat Burt,
17 Mayor in Palo Alto. Tom had encouraged me to speak and
18 share some of our experiences that are, I think,
19 relevant to this discussion. And I also want to really
20 thank all the presenters, that was really valuable
21 information.

22 So, by way of background Palo Alto owns all
23 its own utilities. We've had carbon neutral electricity
24 100 percent since 2016, and had it's supposed to be the
25 highest EV adoption rate in the country for some time,

1 which has all caused us to run in to the next set of
2 challenges of perhaps ahead of some of the other
3 municipalities.

4 So, as we are moving forward on our 80/30
5 goal, 80 percent GHG reduction by 2030, we have a great
6 focus on building electrification and within that, home
7 electrification. We have aggressive programs that have
8 been going on by our utility's program group. But, we -
9 - six to nine months ago we had our utility's operations
10 come forward and say you basically have to halt your
11 building goal home electrification program because we
12 can't keep up with the ad hoc, piecemeal additional
13 system demands. They were -- basically lack inadequate
14 capacity on pole mounted transformers, and we would need
15 to do a study for a couple years and a 10-year plan to
16 system-wide increase the entire capacity in the city.

17 We've gone back, looked at this. Basically,
18 looked at the low-watt approaches and recognized that
19 first, that we could have heat pump water heater
20 conversion across the board, which is where our most
21 focused goal of an end of live conversion to heat pump
22 water heaters. And starting off with 1,000 units in the
23 next year is our scaling from our pilot program to pilot
24 production, we'll call it.

25 The other thing is that we saw the whole home

1 low-wattage approach, we can do certainly on many areas
2 of the city where we've already increased the
3 transformer capacity. But a big a ha for us was that it
4 didn't make sense that our home electrification was
5 triggering this capacity problem, and as we looked at
6 it, it was EV chargers and specifically oversized Level
7 2 chargers, 50-amp Level 2 chargers, that EV purchasers
8 were being upsold and oversold in response to range
9 anxiety and that's what was triggering our capacity
10 problems.

11 And so now, we're looking back and looking at
12 how do we go through a multi-faceted program to re-
13 calibrate consumer expectations, permitting these and
14 all those things to right-size home EV chargers, in
15 addition to right-sizing lower wattage appliances and
16 the other smart approaches.

17 The other thing --

18 MS. MURIMI: Mayor Burt?

19 MR. BURT: Yeah?

20 MS. MURIMI: If you could complete your
21 comment?

22 MR. BURT: Okay. Well, I'd be glad to share
23 additional information on additional barriers that we've
24 encountered, and tentatively how we think we can
25 overcome them. Thank you.

1 MS. MURIMI: Thank you, Mayor Burt. One last
2 commentor, Medhi Ganji. You may give your comment, you
3 have three minutes.

4 MR. GANJI: Sure, thank you. It was a great
5 presentation, and informative webinar. One thing I
6 would like to mention as a follow-up to Mayor Burt, and
7 also Josie and Tom's presentations. We noticed that
8 they came up with the cost of, I would say an estimate
9 for upgrading the electric panel, the cost of \$5,000.
10 And I would say that's the cost of the panel upgrade in
11 the best case.

12 In a worst-case scenario when the homes are
13 being fed through the underground utility
14 infrastructure, or system, the cost might get up to \$20-
15 \$25,000 in some cases as well, as we need to pay -- as
16 the customer or homeowner should pay for the cost of
17 trenching and bringing new underground wires from the
18 closest utility point of contact to their home. And in
19 some cases there is a combiner box right in front of
20 their garage that needs to be upgraded as well. Thank
21 you.

22 MS. MURIMI: Thank you. So, we are at time at
23 the moment. Heriberto, I'll hand the mic back to you.
24 We will have a second public comment session right after
25 we come back from break.

1 MR. TAYLOR: And Mayor Burt --

2 MR. ROSALES: Thank you --

3 MR. TAYLOR: Mayor Burt, if you would like to
4 send an email to our staff, we are all very eager to
5 collaborate with you and your staff, so thank you very
6 much for attending.

7 MR. ROSALES: Yes, thanks to everybody for
8 participating with the public comment period and for all
9 the questions and comments. We will have time later
10 after -- this afternoon after Panel 2 for additional
11 public comment as well as questions. So, if you didn't
12 get a comment submitted now, you can get it submitted
13 then. You could also just write it in the Q&A box and
14 we will make sure it's written and recorded.

15 With that, let's break for lunch. We will
16 have approximately 40 minutes starting now for lunch. I
17 will pause this recording and then we will reconvene at
18 1:00 o'clock, and we will reconvene promptly with Panel
19 2 presentations. Thank you everyone. Thank you,
20 Dorothy.

21 (Meeting off the record at 12:20 P.M.)

22 (Meeting on the record at 1:00 P.M.)

23 MR. ROSALES: Everyone, it is 1:00 P.M., we
24 will start off with the second half of our workshop. We
25 will get into the Panel 2 discussion and presentations.

1 The moderator for this workshop will be Gabriel Taylor.
2 He is online. All presenters, if you can stand by and
3 be ready.

4 Just a quick reminder for all the participants
5 including our panelists, the focus of the project is
6 really to build a website that will be, again,
7 resourceful to three key stakeholder groups. First,
8 being building owners, seconding being local building
9 officials, and third being contractor/trades groups that
10 will be handling all the professional installation for a
11 lot of the equipment and appliances for the buildings
12 we're speaking about today. So, I just wanted to remind
13 folks again, a lot of the suggestions and ideas -- the
14 most helpful ones will be ones that will let us
15 understand what should be going on to the website.
16 Again, that is a core delivery for this project.

17 And so with that, Gabe, I will pass -- I'm
18 going to get off camera and I will pass it on to you so
19 you can moderate Panel 2.

20 MR. TAYLOR: Thank you very much, Eddie. Good
21 afternoon, everyone. Thank you for returning to the
22 afternoon section of this workshop. We're looking
23 forward to hearing from four panelists this afternoon,
24 and then we'll have time for questions and for public
25 comment. If you have questions, please try to use the

1 chat function, it seems to be working most fluidly to
2 put your question in to the Q&A box and then we can read
3 it to the panelists and discuss it. If you have --
4 there will be an opportunity at the end of the panel for
5 public comments, and we look forward to hearing your
6 public comments. As Eddie said, we're really interested
7 in your thoughts.

8 So first up today, we will -- first up in the
9 afternoon panel rather, we have Karen Kristiansson.
10 Karen is the Lead for the Codes and Standards Program at
11 the Bay Area Regional Energy Network, or BayREN. Karen?
12 I'll stop sharing and, turn it over to you.

13 MS. KRISTIANSSON: Great. Let me share my
14 screen.

15 MR. TAYLOR: Karen, your camera is on.

16 MS. KRISTIANSSON: Here we go. Hopefully it's
17 getting now. Can you see my slides there? Hopefully
18 that will work.

19 MR. TAYLOR: Yes. Thank you, go ahead.

20 MS. KRISTIANSSON: Great. Alright. So, thank
21 you very much, Gabe, Heriberto, Commissioners and
22 everyone who's here. I heard a lot of good information
23 this morning, looking forward to this afternoon's
24 discussion. As Gabe mentioned, I'm Karen Kristiansson,
25 I'm the Codes and Standards program manager for the Bay

1 Area Regional Energy Network, or BayREN. And I'm going
2 to talk today about some tools and resources focusing on
3 examples for local government staff, particularly
4 building department staff.

5 Just a couple words for those of you who are
6 not familiar with BayREN, we work in the San Francisco
7 Bay Area with the nine counties. And are one of four
8 Regional Energy Networks, RENs, in California funded by
9 ratepayer dollars through the CPUC. So, we focus on
10 buildings, saving energy, and reducing emissions from
11 buildings.

12 Most of our work is done through six programs
13 that we run in the bay area. We have programs that
14 focus on helping single family homeowners save
15 electricity, reduce their GHG emissions through
16 incentives, green labeling, saving water. As well as
17 programs that provide technical and financial assistance
18 to multi-family and business owners. And then the
19 program that I'm with, the Codes and Standards Program.

20 Our Codes and Standards Program focuses on
21 supporting local government staff in the three ways that
22 you'll see here. And so today, I'm going to focus on
23 tools and resources for improving code compliance,
24 energy code compliance at the local level. And in
25 particular, I'm going to be talking about a couple of

1 efforts that we've been involved with that are aimed at
2 helping local government building departments with
3 permitting.

4 Just to set a little bit of the stage here,
5 the energy code is a pretty complicated document. It
6 changes every three years. Buildings are also -- can
7 also be complicated, and they change as new technologies
8 and construction methods are developed and become
9 available. We heard a lot about heat pump water heaters
10 this morning, and I'm going to talk a little bit more
11 about those as well.

12 So local government staff need information and
13 resources to help them bridge that gap between the code
14 and the different technology options to make sure that
15 what is actually built is safe and code compliant. So,
16 the processes to do that is permitting. Applying -- when
17 people apply for and receive a permit from a local
18 building department for a project, and then the building
19 department inspects the project once its complete to
20 make sure that it does fully comply.

21 There are a number of existing sources of
22 information and resources that local governments can
23 use, and these are the websites that I refer local
24 government staff to frequently. I kept thinking of
25 other ones, but I was sort of limited to how much I

1 could fit on the slide. So, there are more. But there
2 -- this is, you know, people are working on this, and I
3 think one of the challenges for this website is also
4 going to be on how to pull things together in a
5 navigable way. So, for today, I'm going to dig a little
6 bit deeper on a couple of examples. Heat pump water
7 heaters and reach codes, and some resources that we've
8 worked on to help building departments with permitting
9 for each of those.

10 So, we heard a lot about heat pump water
11 heaters this morning. They're a very efficient
12 technology for heating domestic hot water that has not
13 been used very much in California so far, so its
14 relatively new here. And a reach code, sometimes in
15 other areas is called a stretch code or beyond code, and
16 that's a way for local governments to establish more
17 stringent requirements than the state code. They can be
18 great ways to accelerate and test ways for people to
19 save energy, to you know, to test building improvements.

20 So, the first example I want to get into is
21 heat pump water heaters. We talked about these, they're
22 a really important technology for building
23 decarbonization. Many stakeholders are involved in
24 bringing about that market transformation that we need
25 in water heating. And building department staff are an

1 important part of that, because of their role in
2 permitting and inspecting heat pump water heaters.

3 So, you know, to do that effectively, they
4 need to know -- they need to know about heat pump water
5 heaters. What are they, what are the code requirements,
6 what do they need to look for? And we heard a little
7 this morning about how technology is changing rapidly,
8 there's different types of heat pump water heaters for
9 different types of buildings. So, it can be difficult
10 to keep up on all of this.

11 And when answers to these questions are not
12 known or are not clear, then there can be delays and
13 problems in the permitting process. So, we've certainly
14 heard about some of that as heat pump water heaters have
15 started coming online. Although I would say that a
16 number of jurisdictions have really been working hard on
17 this, and have developed good processes.

18 We've also tried to help that and support our
19 local governments. So, we started -- we developed a
20 training curriculum and some assistance sheets that can
21 be accessed any time from our website. To try to,
22 again, you know, answer those questions, what is a heat
23 pump water heater? What are the code requirements?
24 What do you need to look for.

25 And we also partnered with the TECH Program's

1 permitting pilot effort and worked with them to identify
2 needs, find lists of developed resources, including one
3 originally drafted by Tom Kabat and Josie Gaillard, whom
4 we heard from this morning. And to make those resources
5 widely available. So, all of these, as well as the
6 other resources I mentioned before, are on our website
7 for people to download and use. We want to get them out
8 to as many people as possible.

9 Did I just go backwards? I guess I did.
10 There we go, wrong way. So, the second example that
11 I'll mention today is reach codes. So, when a local
12 jurisdiction adopts a reach code for their jurisdiction,
13 the building department staff need to enforce the reach
14 codes as part of the permitting process. So, again,
15 they need to know about the requirements, how they
16 relate to the base code, and what to look for.

17 One common problem when folks are working with
18 local governments is that, you know, a local government
19 like any agency, it's not just one thing. There's the
20 building department staff, and even within the building
21 department there's the plan checkers, the, you know the
22 permit technicians, the building inspectors, the
23 sustainability coordinator or manager might have been
24 working on the reach code, the building official might
25 have been working on the reach code, but probably all of

1 those other people were not. And all of those folks
2 need to be brought in, need to be made aware of what the
3 reach code is, and how to work with it. Not just, you
4 know, the local government adopted it so the local
5 government needs to know how to do it. It's a little
6 more complicated than that.

7 So, to address these issues, you know, we
8 worked with a wide group of organizations to develop
9 reach code implementation resources. Like many things,
10 you know, if you develop a policy but you can't
11 implement it, it's really just a piece of paper, it
12 doesn't get you where you need to go. So, in addition
13 to customized trainings that we offer, we also provided
14 or worked with the group on a template training
15 curriculum that cities can use themselves. And a
16 template reach code summary sheet and checklists for
17 various types of buildings. So, these are things that
18 people can download and access and use themselves in
19 this process.

20 So even though these two examples are very
21 different, heat pump water heaters and reach codes, the
22 resources for each of them serve a few common goals.
23 The first and most obvious goal is just providing
24 information. And I think that's what we think about
25 most commonly when we think about a website. And that's

1 really important, but it doesn't stop there.

2 Another key goal is to encourage consistency
3 between local jurisdictions. And we hear this a lot
4 from contractors who work in multiple jurisdictions that
5 if they go to two different building departments, you
6 know, they might not get the same answer. They might
7 not -- there might be different processes, there might
8 even be different requirements or development
9 interpretations of the building code. So, trying to
10 encourage consistency between local jurisdictions is
11 another goal of this kind of resource.

12 And then, a third goal is to help the building
13 departments and the applicants get on the same page so
14 that the applicant understands from the beginning what
15 the building department will be looking for and there
16 doesn't have to be a lot of back and forth between the
17 applicant and the building department when someone
18 submits an application requirement, they know exactly
19 what they need to submit, what format it needs to be in,
20 you know, and what's going to be checked for.

21 My daughter is in school, so it's kind of like
22 the teacher telling you, like, "What are you going to be
23 looking for in your paper?" Or, you know, on the test.
24 Just making those expectations really clear.

25 And, then a few other key points that I wanted

1 to make. The resources need to address the right
2 questions. And for this, you need to know, you know,
3 the perspective of the people that you're aiming to
4 help. So, you know, for local government building
5 departments, it's still, like, what are heat pump water
6 heaters? But they don't need to get into all of the
7 details that a mechanical engineer would want to know.
8 What they really need to know are what are the code
9 requirements, what do they need to look for, what are
10 the things that you need to check for in order to know -
11 - so that something can be installed safely and in a
12 code-compliant way.

13 The resources need to be reliable and
14 accurate. And part of that, but also a little separate,
15 is the need to reduce confusion. And having multiple
16 resources around the same thing can also create
17 confusion. Especially if they don't say exactly the
18 same thing. So, it's important to make sure that the
19 messaging is consistent, that the resource is -- there
20 are resources out there that local government staff can
21 bank on, they can count on. Like, okay, these are the
22 requirements, and they don't have to worry about any
23 problems with the reliability of that information.

24 And like with the two examples that I
25 mentioned here, I think the information is especially

1 needed for new technologies such as heat pump water
2 heaters, and new policies. And I think, you know, we
3 heard a little bit about some of the circuit shutters
4 and other items this morning, some of those things. You
5 know, there's a lot of new technologies related to
6 building decarbonization. So, information related to
7 those will probably also be important. And new
8 policies, like reach codes. New items that people will
9 need to enforce.

10 And another important part of this is
11 collaboration. This is the note on our reach code
12 resources that we had a large group of folks who took a
13 look at those, provided some feedback, and you know,
14 it's important to avoid like I said, that consistency of
15 messaging but also to avoid duplication. Because, you
16 know, we don't want multiple resources out there that
17 might say slightly different things, we really want to
18 be sure that everyone who is working with the different
19 stakeholders understands and is onboard with all of the
20 messaging and that we can all be promoting the same
21 things. We don't have enough time to develop a lot of
22 duplicative resources, especially ones that aren't
23 consistent.

24 So, this workshop's a great start to that
25 collaboration and discussion, and thank you very much

1 for having me today. That concludes my presentation,
2 and here's my contact information for any follow-ups
3 from anyone here.

4 MR. TAYLOR: Thank you so much, Karen. Next,
5 we'll transition to Dom Lempereur. Dom, are you there?

6 MR. LEMPEREUR: Yes, I'm here. Good
7 afternoon, everyone.

8 MR. TAYLOR: Good afternoon. Did I get your
9 name pretty close?

10 MR. LEMPEREUR: Lempereur, not too bad. Not
11 too bad.

12 MR. TAYLOR: Excellent. Dom is the Chief of
13 Engineering at BlocPower, a climate technology company
14 focused on urban clean energy products. Dom, will you
15 share your screen?

16 MR. LEMPEREUR: Yes. Can everyone, everybody
17 see my screen?

18 MR. TAYLOR: Perfect.

19 MR. LEMPEREUR: Yes, okay. Again, thank you
20 very much for the introduction, Gabe, and good
21 afternoon, everyone. So, I'm the Chief of Engineering
22 at BlocPower. So BlocPower is -- a little bit about
23 BlocPower. We are a minority owned clean tech with five
24 years of existence. And what we are really focusing on
25 is on the market that have been, we feel, underserved,

1 and it's small to medium sized buildings, commercial
2 buildings. So multi-family buildings. And particularly
3 talking about multi-family buildings, about the low and
4 medium-income neighborhood and buildings.

5 So, while the company started doing energy
6 efficiency and making buildings more efficient, starting
7 with any type of energy improvements, for the past three
8 and a half years, almost four years now, BlocPower has
9 been focusing on electrification and gas to electric
10 technology, basically, for buildings. Right? Those
11 type of conversions.

12 As a tech company, we built a platform to what
13 we think can help reduce the cost of electrification and
14 particularly the cost of developing those projects. As
15 you can see on the screen, we have been backed up by
16 government offices, utilities, and private investors.

17 So how do we get started successfully, right?
18 You could be a city, a city or town, a utility, a real
19 estate company with a portfolio of buildings, or an
20 individual building owner. What we think is very
21 important is to have access to data. And data is often
22 publicly available, there's also often a set of
23 proprietary data.

24 But, knowing what we are looking at and how to
25 make the right decision in prioritizing the type of

1 buildings or type of measures that makes the most sense
2 for particularly a group of buildings or building is
3 essential. Learning, right? And having the data or set
4 of data -- using the platform for instance, we can
5 actually visualize and support marketing campaigns, for
6 instance. BlocPower, just a few years ago, had been
7 tasked to identify multi-family buildings in rungs that
8 are oil buildings, right? And how can we approach
9 building owners, for instance, and that was a utility
10 program, right? How do we access and do the outreach to
11 the building owner to explain what electrification is,
12 what is the benefit of electrification? So, data
13 visualization is a very important part as a first step,
14 right, of an energy program for instance, or an
15 electrification initiative.

16 Now that -- assuming that we have all the data
17 and all the visualization, we have a pretty good idea --
18 looking now from the perspective of a building owner or
19 decision maker, right? We need to talk a little bit
20 about, and very early in the process in our view, about
21 the journey that the building owner will have to take to
22 go to and install electrification in a specific
23 building. And the problem is that building owners have
24 to face, you know, more than six parties in this example
25 to actually put a project together.

1 Starting with an energy consultant, an
2 engineering company to do the design. Financing
3 entities that could be multiple if you're multi-family
4 building and low- and medium-income. Finding other
5 contractors, what are the incentives that are available?
6 Local but also federal. And with Inflation Reduction
7 Act, for instance, there's a lot of things going on,
8 right? Having access to the information that pertains
9 to the actual -- that can actually help a building owner
10 make a decision on electrification. There's a lot right
11 now. Right? So, all this -- and if you are multi-
12 family building owner, and there's a lack of capacity of
13 resources, you have other things to do and this task of
14 thinking about to electrify a building can be daunting.

15 So, what is a solution? Again, based on data,
16 based on the journey that a decision maker will have to
17 take, right, to electrify a building, we believe, and we
18 have found out working on over 50 electrification
19 projects, 12 of them being in California, we believe
20 that turn-key projects are the key to a successful
21 electrification.

22 Turn-key means that there is one entity who is
23 the point of contact to the decision maker or the person
24 who invests into electrification. And going through
25 all this journey, again, you can see on the screen that

1 from the acquisition to the analysis, right, the first
2 pass at providing what really the electrification
3 project needs, to talking about finances, installation,
4 and beyond the installation, talking about the
5 performance or the maintenance of the system.

6 We believe that having one company who can
7 provide this turnkey project is the way to go. And we
8 can -- for the customer, it means also a reduction in
9 the cost of electrification. The reason for that, that
10 all the players working towards the project have access
11 to the same data. So, they are not putting any type of
12 mark-up on their quotes, right, to make this project
13 happen. So again, we feel that there is quite some
14 efficiency gain by providing a turn-key project as the
15 methodology to deliver this project.

16 So, let's start again with energy planning,
17 right? So, you're convinced that electrification is the
18 right thing to do for a specific building. The scope
19 budget and timeline is the pillar, or the three pillars
20 basically of this -- or to initiate this electrification
21 project. Scope of work means that hiring a professional
22 to come up to the building, do a lot of data collection.
23 You can see on the screen for instance, this gentleman
24 with an actual video cam on top of the helmet to capture
25 and collect all the data on the building. Later on,

1 that can be used to generate drawings. For instance,
2 for the design.

3 When you have a list of measures that makes
4 sense for a specific building, you need two additional
5 information. And it's budget, right? How much does it
6 cost obviously to implement the scope.

7 And again, I think access to professionals who
8 can efficiently provide, and accurately provide a
9 project cost savings also associated with
10 electrification, what are the pre and post expenditures
11 is an information that people would like to know early
12 in the process before implementing electrification.
13 What are the available incentive rebates, taxes? What
14 are the possibility to finance such a project? Are all
15 those questions that needs to be answered relatively
16 early and efficiently, quickly in the first step of the
17 project development.

18 In addition to that in talking about tools
19 that are available, sharing the information -- basically
20 we put together, BlocPower put together, a specific
21 model, right, that consists of creating a questionnaire
22 that is not too technical, but that has basic
23 information about the building, right? And from there,
24 we can relatively quickly generate a report saying,
25 "Hey, this the opportunity to think about

1 electrification. This is how it should look like."

2 Talking about another tool also that is very
3 critical is connecting to the history of utility data so
4 we can do some analysis. And, with the owner's consent,
5 obviously, right? There is some information that is
6 available today to fetch that utility data and come up
7 with a model and savings, you know, in dollars to
8 estimate those savings.

9 Specific to what we do about energy modeling,
10 we use Energy Plus to really simulate a specific
11 building, or a group of buildings, and come up with heat
12 loss calculation and also sizing of equipment. So now,
13 you have more answers to the initial question saying,
14 asking, you know, is electrification good for you? Does
15 it mean that the decision maker needs to go ahead and
16 start today? The answer is not or not necessarily. And
17 electrification -- so that's where the timeline of the
18 project is very important, right?

19 And I'm going to take an example. You're a
20 building owner and you replaced your heating system, a
21 gas furnace, or a boiler last year. The system didn't
22 go through the amortization cycle yet. Is this the
23 right thing to rip it off and replace it? Some people
24 would do it. Economically, some people are not so sure
25 about this.

1 Does it mean that the decision maker will have
2 to wait, you know, eight, 10 years before thinking about
3 electrification? No, because there is -- if starting a
4 project doesn't make sense the next year or immediately,
5 there are two measures that need to be considered to
6 prepare for electrification. The first, is to upgrade
7 the electric panel or the service. And that can be done
8 if, for instance, a building owner, single home, decides
9 to install an induction stove for, you know, electric
10 induction stove replacing a gas stove, right? There
11 will be an electrician coming, this is a good idea to
12 think and project how much services and what the panel
13 should ultimately be to be ready for electrification.
14 So, if you're thinking about an EV charging, maybe a
15 400-amps makes the most sense, right? So that is a
16 measure that can be done relatively quickly in
17 preparation to a full electrification.

18 The second, is about the building envelope.
19 And there are two benefits in to -- with tackling that
20 building envelope. The first is, even though the
21 heating, let's say, or the cooling, the heating is
22 provided by let's say natural gas, right? There will be
23 savings on the utility expenditures immediately because
24 the building is tighter. So, savings in dollars can be
25 generated immediately. And the second, is the fact that

1 because the building is more efficient, the size of the
2 heat pump system can be smaller. Right? For a home
3 that is not properly insulated, maybe you will need
4 four, five-ton unit. With an insulated system, home,
5 you might only need three tons et cetera. So, annual
6 reduction in the cost of electrification all together.
7 So, again, just to summarize this point, if
8 electrification is not sound or makes sense for a
9 specific building today, we can still prepare for it.

10 As I mentioned earlier, the turnkey is a way
11 in our view that makes the most sense and the simplest
12 way for a building owner to go for electrification.
13 Right? Because of the multiple stakeholders and
14 multiple trades that will work on a building. But maybe
15 we can go a little bit beyond that, and there is a new
16 type of service called electrification as a service, or
17 heat as a service, that is being developed in many parts
18 of the country.

19 A utility like Con-Edison in New York City is
20 actually opening a program to help building owners who
21 may have some difficulties in finding the capital to go
22 with electrification, to instead work with a provider of
23 such -- electrification as a service. And one of the
24 possibilities is to, instead of purchasing the
25 equipment, is instead to lease the equipment. So, it

1 means that the provider will design, install, and
2 operate the asset, being electrification measures such
3 as a heat pump for the duration of the lease that can be
4 multiple years. You know 10, 15 years. So, the benefit
5 of that is -- and it works a little bit like a call
6 payment when it's not yours, you can use it, and you pay
7 every month. Right? So that's the type of service I'm
8 talking about.

9 The benefit of that is really to have a brand-
10 new system with no upfront cost of capital, and also to
11 have really a system that can be performing and
12 maintained by others, right? So, we believe that this
13 is a type of service that is beneficial to
14 electrification as everybody has heard before, this is
15 not -- electrification can be expensive and we believe
16 that this is, you know, this type of deliver that that
17 can make a big difference.

18 So that ends my presentation. I understand
19 that questions will come a little bit later after the
20 next presenters. Thank you very much for the
21 opportunity to present.

22 MR. TAYLOR: Thank you very much, Dom. We've
23 already received some questions and we will handle those
24 at the end. Next up, Erich Fleck, is the -- Erich Fleck
25 is the acting manager of the Switch Is On website

1 project, and related ambassador programs. Erich is with
2 the Building Decarbonization coalition. Erich?

3 I can see your slides. There's a bar at the
4 top, let's -- if you can full screen it? It should work
5 fine there. There you go. Thank you, sir. Go ahead.

6 MR. FLECK: Thank you, Gabriel. Hello,
7 everyone. Well nice to meet you. So, we're going to
8 talk about the BDC, the Building Decarbonization
9 Coalition and by extension, our Switch Is On website and
10 campaign. So, here at BDC, we are a coalition that
11 unites building industry stakeholders with energy
12 providers, environmental organizations, and local
13 governments to help power our nations homes and
14 workspaces with clean energy.

15 Early on, we realized as far as resource
16 sharing, that each unique audience needs a customized
17 portal to best serve the needs of each audience. And
18 so, we came up with focusing on homeowners and
19 residents, contractors, and resources for local
20 governments and staff. So, some of the homeowner-
21 resident resources that we have from a state-wide
22 standpoint is that BDC is a member of TECH Clean
23 California, in addition to our partnerships with cities,
24 IOU's, CCA's and municipal utility districts, help
25 create the nation's first consumer-focused home

1 electrification campaign centered around our website,
2 SwitchIsOn.org.

3 The mission of Switch Is On is to educate and
4 inspire homeowners and residents to be able to
5 participate in making the switch off of gas
6 infrastructure in the buildings to an electrified home.
7 The journey itself, is it's all about knowledge sharing
8 and learning and finding and helping professionals and
9 residents find ways to plan and complete the projects,
10 and also to make sure that we have searchable databases
11 so that you can connect with those to do the work, as
12 well as find ways to help fund the projects themselves.

13 We recently were able to put together a big
14 ask that we've been receiving over the past eight months
15 as more of a concierge type service for people to be
16 able to -- and by people I mean homeowner and residents,
17 to be able to ask all the questions that they have,
18 which are quite numerous at this stage in the game. And
19 so, we do provide expert support to residents, both
20 through a contact email, but also more specifically
21 through a third party that helps people navigate that
22 process.

23 And one of the really great additions to our
24 campaign is our ambassador networks, both neighborhood
25 ambassadors which are just volunteers across the state

1 that are embedded in this work or just really, really
2 interested in it, and they give us the eyes, the ears,
3 and the voice of what's going on so that we have this
4 feedback loop that's constantly learning. That, all at
5 the same time, is being supported by our, as I mentioned
6 before, our partners, our utility partners, CCA's and
7 Muni's, as well as the Regional Energy Networks, and
8 some of the private companies out there doing this same
9 work.

10 So, I'll talk a little bit more about the
11 educational content. Our website is for one, the main
12 goal is to have it be as accessible as possible to all
13 residents in California. And the way that we accomplish
14 this is through being not too technical, but technical
15 enough to be able to understand the technologies and the
16 processes needed to install them in your homes. But
17 also really digestible for the broadest array of
18 consumers.

19 Our website is translatable into a multitude
20 of languages with many of our downloadable resources,
21 video, digital, radio adds, all produced in the four
22 main languages spoken in in California, English,
23 Spanish, Mandarin, and Tagalog. We have, on the
24 website, RSS news feeds and blogs and spotlights
25 highlighting decarbonization income qualifying programs,

1 just specifics about heat pumps in general, induction
2 cooking, the contractor's journey, training programs,
3 and overall awareness to the benefits and realities of
4 being able to make the switch.

5 The most visited part of the website in these
6 past eight months is our incentive finder, because it's
7 not surprising that people want to be able to know that
8 they can fund this work. And the incentive finder tool
9 is maintained day in and day out through collaboration
10 with our program partners throughout the state that are
11 providing the incentives. But also, we have a third
12 party that helps us manage the database.

13 The incentive finder is a way for you to be
14 able to, as a homeowner or resident, and or contractor,
15 go to our website, type in a zip code, search what kind
16 of projects you'd like to be working on -- so central,
17 HVAC, heat pumps, and you will -- as a for instance,
18 here in San Luis Obispo County where I live, if you were
19 to type in 93401, San Luis Obispo's zip code, you'd come
20 up about 28 different incentives that are active at the
21 moment in that area.

22 And you're able to click on the incentives,
23 learn more about the incentives, understand the
24 requirements. It's very important for us, too, to be
25 able to distil the programmatic information in a way

1 that the general public's able to do something with it.
2 And we do that through just consistent communication
3 with the program generators, and always trying to
4 perceive how the information will be received on the
5 resident's side.

6 Similarly, we have a contractor directory that
7 helps residents and homeowners be able to locate
8 contractors in the area that can do the work that
9 they're hoping to have done on their homes. From this
10 slide, you can see that because we're still in the early
11 stages with a lot of this transformation and there's not
12 quite enough contractors yet to do all of the work, the
13 zip code allows for a range of distance from wherever it
14 is that you live to hopefully increase that pool of
15 contractors that would be able to come and provide a
16 quote and hopefully get the project up and running.

17 But it's all searchable by your zip code and
18 by the type of work that you're looking for. And this
19 is maintained by a third party, Efficiency First
20 California, and they, in concert with TECH Clean
21 California make sure to be monitoring customer
22 experience with the contractors, to make sure that
23 business licenses are up to date and functional.

24 I talked a little bit, too, about that
25 concierge piece. This is -- we're a learning campaign,

1 so it's something that is iterative in nature. But we
2 do have on the website expert guidance provided by
3 Electrum, a third party that can allow, at least with
4 heat pump water heaters for now, to be able to cost
5 compare and see different savings and applicable
6 incentives, as well as Electrum provides solar battery
7 storage advice. And not just advice, but detailed
8 analysis.

9 And the way that that plays out is that we
10 have a phone number that a resident or homeowner could
11 use to connect with Electrum. They would share their
12 address and the type of project that they're looking to
13 be completing. And through that process, they can use -
14 - Electrum can use satellite imaging to kind of look at
15 the roof of the home and see how many solar panels they
16 might need to do all the things that they'd like to do
17 as they decarbonize their home, as well as then take it
18 to the next step and connect them to contractors,
19 provide quotes, and instigate the project itself.

20 From a contractor's standpoint, early on after
21 we -- prior to the launch of the website in December of
22 2021, we did a lot of outreach to contractors and
23 interviews. And the three biggest things that were
24 materializing from these conversations from contractors
25 already doing this type of work, were that they wanted

1 third-party marketing materials, they wanted there to be
2 a clear place for incentives to exist both for them and
3 for residents to be able to understand where the
4 starting point is. And they also wanted to build
5 customer leads.

6 And that is what the contractor portal on
7 Switch Is On serves. The -- as far as the lead
8 generation, that's how it works. You type in your zip
9 code and the contractors are given leads, and then
10 there's a follow up email. I've done this myself for
11 work on my own home, and it was -- I had two or three
12 contractors reach out to me within 24 hours and it was
13 really great because it kind of kept things going and
14 kept the interest there on both sides.

15 The marketing materials -- we do help the
16 contractors on that end, both in house and with TECH
17 Clean California. And we also amplify any trainings
18 that are either being provided by manufacturers on the
19 website of the equipment. Or, if for instance what
20 Karen showed earlier with the BayREN contractor training
21 sessions.

22 And as we can see here, we're all about
23 amplifying what already exists. And then just keep
24 bringing it to people's attention in the easiest ways
25 possible. Easiest and most effective.

1 And then lastly, the government, the local
2 government staff resources component of what BDC does,
3 is we work our team our groundswell team specifically
4 works with local government staff resources, here, our
5 staff in California and outside of the state. But with
6 items like a best practice library, you can find this on
7 the Clean Building Compass, which Karen also had on her
8 slides.

9 And then amplifying trainings. A number of
10 entities are already offering these trainings and
11 topical workshops for local government staff. We engage
12 with co-learning and coordination and sharing of these
13 resources such as Civic Well. I just mentioned what
14 some of the Regional Energy Networks do and a lot of
15 what's going on with the investor-owned utility reach
16 code teams.

17 Guidebooks are another great way to share
18 resources, one that we would like -- you know, a key
19 resource of note would be Silicon Valley Clean Energy's
20 All Electric Permit Guide. That can be a really
21 valuable component for city staff.

22 Calculation tools. There are a lot already
23 out on the market, but when you're a coalition builder,
24 you're bringing a lot of these resources into play so
25 that everyone can use them as effectively as possible.

1 And then lastly, we've created relationships
2 with organizations such as Green Cities California, who
3 bring municipal sustainability staff together to just
4 learn from each other. And it's through that co-
5 learning that everything is constantly improving. And
6 in a way that not only you can benefit from a contractor
7 standpoint with your own business, with your own access
8 to being able to train your employees, but also from
9 staff and local governments and then with the biggest
10 component being the cultural change of hearts and minds
11 that Switch Is On and attempts to do each day with our
12 website as a one stop shop for building decarbonization.
13 Thank you.

14 MR. TAYLOR: Thank you so much, Erich. Really
15 appreciate it. Excellent. So next up, we have Shelly
16 Lyser. Shelly is from the Public Advocate's Office at
17 the California Public Utilities Commission. Shelly, are
18 you ready?

19 Can't hear you.

20 MS. LYSER: Yes, ready. Just sharing my
21 screen. I'm going to make it -- my PowerPoint full
22 screen. Can you guys see that?

23 MR. TAYLOR: We can hear you fine, can't see a
24 full screen yet.

25 MS. LYSER: Might take a minute to load.

1 MR. TAYLOR: Now we see your desktop.

2 MS. LYSER: Uh, oh. Alright. It may have
3 gone to the previous slide. Let me try that one more
4 time. Here we go.

5 MR. TAYLOR: Still not seeing yours show.

6 MS. LYSER: Yeah, I'm having the two-desktop
7 issue. Let's see if I can change that over.

8 MR. TAYLOR: If you go to the share screen
9 after you make it presentation mode, you should be able
10 to share just that presentation.

11 MS. LYSER: Here we go. Let me try this and
12 see if that helps. Unplugging second monitor might make
13 a difference. How's that?

14 MR. TAYLOR: Perfect. Go ahead

15 MS. LYSER: Great. Well, thank you for having
16 me. My name's Shelly Lyser, I work at the Public
17 Advocate's Office at CPUC. We advocate on behalf of
18 residential and small commercial customers that are
19 paying utility rates. And so, we are trying to keep an
20 eye on how high rates are going, trying to keep them as
21 low as possible while also still meeting state
22 environmental goals and keeping the grid reliable.

23 And so, happy to be here today. I'm going to
24 be talking about overall equity implications of these
25 types of programs, and how we can address these issues

1 in program design and implementation.

2 So quickly, the topics I'll cover are some
3 existing programs, which I think will be relevant to
4 this website related workshop, since we're trying to
5 consolidate all of the incentive programs to make things
6 easier to find. Which I've been very interested in
7 seeing everyone else's presentations about how you're
8 trying to consolidate the information and make it more
9 easily accessible, because that's a common concern.

10 And then I'll zoom out and talk a little bit
11 about, you know, who is actually able to sign up for
12 these programs. First, of course, there's the hurdle of
13 being able to find them. But, there's some groups, in
14 fact large portions of the population that have issues
15 accessing the incentives or taking advantage of the
16 programs. So, we want to try and address that, and I'll
17 talk a little bit at the end about how we can problem
18 solve there.

19 So, what are some of the available programs
20 today? There's two ongoing pilots through the building
21 decarbonization proceeding at the Commission. I think
22 several of you are familiar with them, because they've
23 been referenced in previous slide decks. But there's
24 the BUILD program, and the TECH program. And they both
25 provide incentives for decarb measures. One's in

1 existing buildings, and one is for new construction.
2 And there are different initiatives overseen either by
3 the CEC or the CPUC. And we also have, in at least
4 SoCal Edison's service territory, they have a building
5 electrification pilot for their low-income customers.
6 So, it's specifically targeted at customers that fall at
7 or below 200 percent of the federal poverty line and
8 seeing how we can, you know, access those populations
9 and provide them with electrification benefits.

10 So those are pilots to evaluate, you know,
11 feasibility of different options. There's also several
12 ongoing and well-established programs that are funded
13 either through cap and trade auction revenues, or
14 through utility rates. And that's the self-generation
15 incentive program, as well as several programs within
16 the Utilities Energy Efficiency portfolios. And when I
17 say utilities, I mean folks like PG&E. Not necessarily
18 SMUD, although SMUD of course has its own EE programs.

19 There's also the Energy Savings Assistance
20 Program. So that's targeted at low-income customers.
21 And they tend to have measures like fuel substitution,
22 like heat pump water heaters as part of it, although
23 it's not typically the primary emphasis of these
24 programs. So, I'm listing these here partly for
25 awareness, but also to note, you know, there's hundreds

1 of millions of dollars of funding for incentives that
2 have been approved. And we want to have access to those
3 be as equitable as possible.

4 But what are some of the barriers that
5 especially lower income customers face? Some other
6 panelists have touched on this, but I'll go into a
7 little bit more detail here and underscore it. So, this
8 was actually from a study by the CEC talking about
9 access to clean energy programs for low-income and
10 otherwise disadvantaged customers. They have low home
11 ownership rates. So obviously, it's difficult to, you
12 know, change anything to do with the place you're
13 living, like building envelope or the appliances, if
14 you're a renter.

15 So that kind of creates an inherent roadblock
16 that I think some programs are trying to address by, you
17 know, looking at multi-family whole-building approaches,
18 working with landlords, but it is an inherent hurdle
19 that I think needs to be emphasized strongly because
20 there's a large chunk of the population in California
21 are renters. They also face often very complex
22 arrangements and requirements for, you know, in the
23 buildings where they live, there's a lot of paperwork, a
24 lot of different hurdles inherent once they're in the
25 low-income, any sort of low-income housing to have

1 access to programs.

2 They often have less access to capital. It's
3 very difficult to borrow funds, or you know partially
4 fund any sort of programs even if there is a lucrative
5 incentive. If it's not 100 percent funded, or you know
6 there are other issues such as structural issues, panel
7 upgrades -- which I'm glad was addressed a lot earlier
8 in this workshop talking about alternatives to panel
9 upgrades. Some of it just isn't feasible for lower
10 income customers.

11 There's also the issue that lower income
12 customers are more likely to live in older buildings.
13 And so, there could be further work that needs to be
14 done specifically for low-income customers. And, you
15 know, there's a lot of programs and interest in some of
16 the urban centers in California for these types of
17 programs. Especially in the Bay Area where I live.

18 But throughout a lot of the rest of the state,
19 especially in more rural areas like the San Joaquin
20 valley, there just isn't as much availability of
21 contractors, of the technologies themselves, and, you
22 know, a lot of the resources that folks in more urban
23 areas can take for granted or at least have slightly
24 easier access to.

25 So those are the suite of barriers faced by

1 low-income customers when trying to access these types
2 of programs, and it's something to keep in mind when
3 we're talking about, you know, doubling down on
4 increasing decarbonization incentives.

5 Go to the next slide.

6 So, also there's the kind of broader issue of
7 where's this money coming from. So, something to keep
8 in mind as we're talking about incentives that are
9 available, especially through utilities, but even
10 through some of the cap-and-trade auction revenues, is
11 that electric and gas ratepayers are funding those
12 programs.

13 And we are in a rates crisis. The utility
14 rates are increasing at a much higher clip compared to
15 inflation. You know, sometimes several percentage
16 points higher and it's just rising all the time. So,
17 we're in a fairly urgent situation here. We shouldn't
18 do anything to make, especially electric rates worse
19 right now.

20 So that's something to keep in mind, is as
21 we're looking at designing programs and funding these
22 programs, there has to be some consideration of the cost
23 versus benefit of you know what we're getting versus
24 what we're putting in. So, if you're utilizing funds,
25 especially rate payer funds or even cap and trade funds,

1 there has to be a balancing analysis showing that
2 there's a dollar going in and a dollar coming out
3 equivalent of value. So that's, you know, the benefits
4 can include GHG savings, it can include, you know,
5 energy expenses that would otherwise you know -- gas
6 costs need to be offset by electric savings.

7 And, you know, for these types of decarb
8 programs it can be fairly complicated to do this
9 analysis but there are tools available and the
10 Commission has developed them to do this sort of cost-
11 benefit ratio where it makes it easier to compare having
12 a full you know fuel switching decarbonization measure
13 as opposed to something like building insulation to get
14 the equivalent greenhouse gas savings. And so, when
15 you're spending the money, when you're picking, you
16 know, which appliances how much they're going to cost,
17 how much we're willing to incentivize, you have to look
18 at what the value is that's coming out. Otherwise, it
19 will actually undermine these decarbonization goals.

20 So, that's an additional concern, I'm sure,
21 among all implementors of, you know, folks who are
22 trying to push for electrification and encouraging
23 customers and trying to tell them that, you know, it
24 could have bill savings or it at least won't have undue
25 harm for the rates that they're paying. We don't want

1 to see electric rates rising at a higher rate than gas
2 rates. So, we have to keep an eye on, you know,
3 unsustainable spending in these areas and always
4 designing programs with that kind of balance in mind.

5 So, I'll go on to solutions, since now that
6 I've listed a long suite of problems and concerns. But
7 there are plenty of ways to address this. So, here's a
8 whole suite of kind of answers or beneficial design and
9 things to consider as anyone is rolling out these
10 programs. Don't push for further ratepayer funding. In
11 fact, we could try to decrease electric rates and make
12 these technologies more attractive if we're not funding
13 programs that don't have equivalent benefits.

14 And so, you know that includes education
15 programs. If it's not demonstrating that it's showing
16 results, then maybe it shouldn't be coming out of
17 utility ratepayer's pockets. This includes cap and
18 trade funds, so using auction revenues like some of
19 these programs do. And they're designed to fund
20 programs that reduce greenhouse gasses. But, from a lot
21 of these funds, the cap and trade revenues would
22 actually be flowing back into customers pockets if
23 they're not spent on programs.

24 So, there's an opportunity cost there if we're
25 utilizing cap and trade funds for programs like for heat

1 pump water heaters if we're not seeing requisite
2 benefits, or if it's many times more expensive than
3 something else that would save just as much energy or
4 just as many GHGs.

5 So, there's also alternatives to these options
6 and other panelists have touched on this. So, rather
7 than using utilities and utility rate payers as the
8 primary source of these incentive funds, there has been
9 tremendous interest -- I'm sure everyone is aware of the
10 new federal legislation, the new federal funding that's
11 becoming available. There is also a tremendous amount
12 of funding coming from the state budget. And using
13 general fund dollars, you know coming from income taxes
14 versus utility rates, is a much more progressive way of
15 funding these programs.

16 Funding through utility bills is inherently
17 regressive and has disproportionate impacts on lower
18 income customers. So, I'm very glad to see that all of
19 this new state and federal funding has become available.
20 We should focus on that and replace some of the older
21 funding sources in order to keep electric rates
22 sustainable.

23 There's also some discussion on several forms
24 about rate reform. It's not the silver bullet, it won't
25 fix everything. But having rates be more tailored

1 towards folks' income, so having for example an income
2 based fixed charge could help a lot and having rates
3 designed in a way that actually favors electrification
4 could also help encourage these programs.

5 And then, there's also the, like I mentioned
6 before, the ongoing pilots. So, the BUILD and TECH
7 programs are ongoing. SCE's ESA building
8 electrification pilot is ongoing. And we should take a
9 pause, learn from those, and then take those learnings
10 to improve program design.

11 I think there's a lot of jumping the gun
12 about, you know, we need panel upgrades, we need you
13 know these certain technologies. But unless we actually
14 have on the ground experience like I'm glad some of the
15 companies and organizations on this call are developing,
16 we won't know the right way and the most efficient way
17 and the most cost-effective way of implementing these
18 programs. So, we should take a step back, let these
19 pilots continue and then take the learnings from that to
20 design better programs going forward, rather than, you
21 know, increasing funding you know without taking a step
22 and looking at those evaluations.

23 Some folks may be surprised to know, or not,
24 that there's also on-going incentives that are being
25 approved through ratepayer funds to continue to fund gas

1 measures. So, there's, you know tens if not hundreds of
2 millions of dollars begin spent right now to further
3 fund appliances like gas water heaters, you know, upon
4 failure so that when they need to be replaced. There's
5 actually a lot of energy efficiency funding right now
6 that goes towards gas water heaters.

7 So, that seems like a no-brainer. It should
8 just be -- the plug should be pulled on those programs
9 as soon as possible. Because as everyone on this call
10 is aware, we have very ambitious, but I think doable and
11 reachable targets for GHG emissions reductions. And so,
12 continuing to lock in gas utilization is definitely not
13 the way to go, and kind of seems like a simple solution.

14 I was also happy to hear my colleagues talk
15 about continuing codes and standards improvements. I
16 think that will also help kind of level the playing
17 field a bit where if you make it a requirement to have
18 these more efficient electrification measures, then you
19 don't have to also add incentives in order to push them
20 forward.

21 So, kind of returning to the individual
22 customer level. So, I've talked, you know, in a big
23 picture way about funding options and funding sources
24 and affordability, but this gets back to the individual
25 customer who is going to be adopting these measures as

1 we're all very interested in. So, optimizing these
2 programs and these program dollars requires having a
3 combination of measures being applied. So not just the
4 heat pump water heater, but when you install it -- and
5 this actually speaks to the concerns raised by the
6 govern-- or Mayor of Palo Alto, excuse me, that you
7 should have them enroll in demand-response programs.
8 And, you know, that can even provide further incentives
9 for the customer.

10 But you need to make sure that they're not
11 operating directly during the peak capacity periods on
12 the grid, otherwise it will create reliability problems.
13 So that creates value all around. And you need do --
14 you would need to build in that kind of automation as
15 you're doing the installations. It also helps to have,
16 as other folks have said, building insulation paired
17 with the appliance installation. So, it can reduce the
18 size of the appliance you need to put in, and then also
19 improve the cost-effectiveness sometimes quite
20 significantly.

21 I also list here, you know, certain climate
22 zones are better suited for electrification than others.
23 You know, there's sort of ongoing discussion about how
24 you can reduce the need for gas system maintenance by
25 having further electrification that's maybe a little

1 ways away, but it's a good ongoing conversation to have.
2 And like I mentioned, just keeping in mind grid
3 reliability when you're adding a lot of electric load,
4 is very important. And so, having that pairing with
5 demand-response programs should help.

6 So, with that, I'll pass it back to Gabe.

7 MR. TAYLOR: Thank you so much, Shelly.
8 Really appreciate it. As always, appreciate post
9 coordination with the Public Utilities Commission.

10 I'd like to invite all of the panelists to
11 turn their cameras back on so we can have a discussion.
12 Opportunity for -- we have two questions that came in
13 online. And if attendees would like to comment, sorry,
14 or would like to ask questions of the panel, please
15 raise your hand. We'll have an opportunity for public
16 comment directly after this discussion.

17 Let's see. So, our first comment from -- or
18 our first question for the panel from Brendan, and this
19 touches on something I was thinking about myself. He
20 says, "For new website, will it overlap with existing
21 websites like BayREN's, which is on -- it's the Clean
22 Energy, Redwood Energy, PG&E, or supplement them in some
23 way? There's a lot of great information available
24 online that can be difficult for homeowners to know
25 where to start and what to plan for."

1 This was touched on by some of the panelists.
2 And I had jotted down my own questions, very similar,
3 which is, "Clearly there are already many online
4 resources. And avoiding duplication is one of our
5 staff's top priorities on this project."

6 This is a legislatively mandated state website
7 that we are tasked with putting together here, and our
8 hope is that it will be very useful to the community, to
9 decarbonization, and to local governments. So, do the
10 panelists see any major gaps that the state can fill in
11 this space?

12 MS. LYSER: I'll just add briefly that I think
13 the highly beneficial part of this new CEC initiative is
14 that it is, you know, public general fund funding, for
15 lack of a better word. So, it's, you know, rather than
16 piggybacking on utility programs, it's actually having a
17 centralized location and having a more progressive
18 funding source. So, I'll just add that.

19 MR. TAYLOR: The Energy Commission does have
20 some funding to maintain this website, so that's
21 encouraging for the long-term benefit. Also, the
22 legislation requires, in addition to, you know,
23 consumers and contractors, it requires that this be a
24 resource for local governments. So, that might be a gap
25 that the state could fill in this space.

1 Any other comments on the topic of overlap and
2 gap filling and that sort of thing?

3 MS. KRISTIANSSON: Hey Gabe, I think Tom has
4 his hand raised and as I do, I don't know if you can see
5 the hand.

6 MR. TAYLOR: Oh, go ahead, just go ahead.
7 Sorry.

8 MS. KRISTIANSSON: Tom?

9 MR. KABAT: Thank you. One of the
10 possibilities, I've seen it through helping Redwood
11 Energy Partners with writing our recent five guides on
12 all electric buildings, including two guides on
13 retrofitting -- is, if the Energy Commission can staff
14 up the kind of the database management and looking at
15 you know, the catalog of equipment that's available in
16 the category and keeping that up to date. That could be
17 very helpful in terms of giving people a place to look
18 at, to really sort through things, and like we mentioned
19 earlier, you know maybe even having a power star
20 category where it would help people figure out, you
21 know, what are the -- what equipment that will help them
22 get around the panel sizing problem?

23 MR. TAYLOR: Karen?

24 MS. KRISTIANSSON: Yeah. I mean, I think
25 there's a couple ways to go here. And I think, you

1 know, in terms of the gaps that the state can fill,
2 there's -- I kind of want to flip it a little bit and
3 talk about some approaches to that. And the two main
4 approaches that I see are, you know, collaboration and
5 also leveraging other resources.

6 So, you know, working with folks who are
7 already working on these things, like we did with the
8 reach code. Resources that I mentioned to collaborate
9 to create resources with new technologies, new policies
10 that come out. But also, you know, leveraging what's
11 out there. And the switch is -- not the Switch Is On,
12 the building -- Clean Building Compass that BDC put
13 together does that really well and references a lot of
14 other sources.

15 So, it's something that we try to do
16 informally, but I think this website has the potential
17 to maybe do it even better. And to also I think I
18 mentioned the importance of, like, of reliability and
19 knowing that something is accurate is something that you
20 can count on. And, you know, when the Energy Commission
21 has reviewed something and agrees with it, then that,
22 you know, everyone's comfortable saying that is what the
23 Energy Code requires, because the Energy Commission is
24 the authoritative source for that.

25 MR. TAYLOR: Dorothy, I think you had an

1 attendee?

2 MM: Thank you, Gabe. There is an individual
3 on Zoom. Bruce Naegel, and apologies if I have
4 misstated your name. You can go ahead and ask your
5 question.

6 MR. NAEGEL: Yes. Thank you for the
7 opportunity to speak. One of the key areas that was
8 kind of hinted at but not fully developed in this is
9 what I'll call the need to do and support transitions.
10 As a challenge, you know, you mentioned for example gas
11 rebates. The gas companies continue to get rebates for,
12 you know, for extending gas, which is counterproductive.
13 So, part of the challenge is, if we in essence will be
14 putting the gas companies out of business, and there are
15 a set of workers there that need to be put someplace
16 else.

17 And so, one of the things that we need to
18 think about is, what do we do to help transition the
19 process so that the people who are currently in the
20 fossil fuel industry have a place to go. We make sure
21 that, you know, as you hinted some ways, is that when
22 lower income people move these new things, they have
23 facilities to be able to do that. But we have a
24 transition problem and unless we solve it, it will slow
25 down our process. Thank you.

1 MS. MURIMI: Thank you, Bruce. Eddie?

2 MR. ROSALES: Hi, everyone. Great
3 presentations. I wanted to remind especially all the
4 attendees and public stakeholders that we will be doing
5 a couple things and we are also looking for your
6 feedback on this, which is, we will be linking our
7 website, our future website will be linking to other
8 websites that are doing similar work. I think, you
9 know, we've gone over some examples where, like The
10 Switch Is On has already developed some tools on the
11 website to -- in order to facilitate some of their
12 visitors, especially building owners, to be able to
13 understand, you know, what financial incentives are
14 available in the area. That's one example where, you
15 know, we will be creating a link from our website to
16 their website. So, we'll be working in coordination
17 with some of those websites.

18 That's one example. We have other websites in
19 mind that we will be, hopefully will be collaborating
20 information with back and forth. And so that leads me
21 to my other point, which is we are -- if we're missing
22 anything or if you'd like to just share a website with
23 us, again, that's what we -- we are welcoming that type
24 of feedback both as a response to this workshop but also
25 as a response to the request for information that is on

1 the docket. So, I just wanted to remind everyone that
2 that's part of our overall effort. Thanks.

3 MR. TAYLOR: Thanks, Eddie. So, Ralph DiNola
4 has a comment/question that is related. He says that,
5 "Seems as though the new website could act as a central
6 clearing house for all of the resources and websites
7 that already exist and help people to navigate and
8 curate resources for consumers, owners and developers."

9 Do the panelists agree? I mean, would that be
10 a useful resource to have? Kind of as Eddie described,
11 have a state-level website that provided links to all of
12 these other resources in various jurisdictions?

13 MS. KRISTIANSSON: I'll jump in and just say,
14 I think it could be very helpful. There are a lot of
15 resources out there, and sometimes, you know, I work in
16 this space pretty much all the time. But it still
17 happens that someone will mention something, and we'll
18 be like, "Oh, I haven't heard of that." You know, so
19 you don't -- it's hard to keep track because there's so
20 much going on. And so, having a central source that
21 really does that work and helps to link it together --
22 it wouldn't be a small project, you know? That would be
23 a significant effort.

24 Also, organizing it in a way so that people
25 can find what they're looking for fairly easily and

1 without spending a lot of time. Because, when you have
2 one of those questions, you know, you just want to --
3 you don't to spend a lot of time going through a lot of
4 things. You want to just get the answers. So, I think
5 that could be valuable.

6 MR. TAYLOR: Thanks, Karen. Looks like we
7 have another question from the attendees. Dorothy?

8 MS. MURIMI: Thank you, Gabe. We have Cooper
9 from QuitCarbon. Cooper? You can go ahead and unmute
10 and give your question.

11 MR. MARCUS: Great, thanks. Hi, everyone. We
12 at QuitCarbon help homeowners electrify their homes by
13 providing plans, assessments, and really fundamentally,
14 navigation of all this information that everyone on this
15 call has been talking about and sharing. It is a
16 notable effort to sort of correctly map all of this
17 information, especially given how dynamic it is to each
18 individual homeowner.

19 I'd like to make two requests or suggestions
20 for the proposed website. The first, is that I sure
21 hope it has a large section of its budget and the way
22 it's designed to work focused on updating it. It will
23 be wrong in many ways forever, and it will need constant
24 updating. Ideally, that would be open sourced in some
25 fashion. A wiki, or some other way that the community

1 can contribute updates and improvements to the website
2 will make it that much more likely that it stays up to
3 date.

4 We see great examples from other companies
5 like Microsoft, where anybody can go in and edit or
6 propose an edit to Microsoft's technical documentation.
7 That's a big company with some important products, and
8 yet they basically let the general public come and
9 suggest improvements. I hope this website will do the
10 same.

11 But that demands the second suggestion I'd
12 like to offer, which is that a really important role
13 here will be the sort of editor and librarian. So, to
14 the extent the website is allowing contributions from
15 the community, which I hope it does, we need folks who
16 are there reviewing them and deciding yeah, this one
17 gets published, or no, this one is maybe not quite
18 right.

19 We also need a similar role helping folks
20 navigate and find the information, a librarian type of
21 reference librarian. I see far too many informational
22 websites that lack both of these features, and sometimes
23 fall quickly out of date despite all their best
24 intentions.

25 So, community contributions and a librarian.

1 I hope those get included. Thank you.

2 MR. TAYLOR: Any comments from the panel
3 regarding open-source public participation in
4 maintaining this information resource?

5 MR. LEMPEREUR: Yeah, I think this is
6 absolutely right. I mean, technologies are you know
7 coming up very, very quickly. They're changing, there
8 are better applications every year. So, manufacturers
9 and with the global focus on electrification, you know,
10 talking about those manufacturers, they will come up
11 with new products so that's one.

12 We talked like at least a couple of times
13 during this presentation about the Inflation Reduction
14 Act. I mean, this -- you know, I cannot emphasize how
15 much this can actually change what we try to do and just
16 that alone requires quite some resources to absorb,
17 understand what the state is going to do with, you know.
18 And it's just constantly, you know, it's a moving
19 target, you know, all the time. And I cannot agree more
20 with this gentleman's comment, you know. Yes, update,
21 be agile, quick, with information.

22 MR. FLECK: I would, I'd add in agreement too
23 that it's all about emergent learning, and you do that
24 through that open-source ability. As all of this
25 information is distilled, sometimes information's not

1 even what people are looking for and you will never know
2 that until you've had the conversations with all the
3 different stakeholders that are involved.

4 And it's -- I mean it's the heat mapping of
5 culture, essentially. And you get that by being open to
6 receiving a lot of feedback, both localized, and state
7 level feedback from partners that are in government,
8 partners that are in the actual manufacturing and
9 industry component of it. So, I think that that's a
10 really great way of being able to adjust your trajectory
11 as it goes. And to also keep the message as relevant as
12 possible, because we can get really stuck in just this
13 is the information, go find it, and then everything will
14 come from that. But that's not really how it works, at
15 least in our experience.

16 MR. LEMPEREUR: Yes, and along with the
17 website, maybe a suggestion to have your staff to
18 update, to review but potentially a committee really
19 behind the website with different stakeholders from
20 manufacturing, distribution, building owners and so on.
21 Although they should be the recipient of this
22 information, but have different perspective also. So
23 maybe, again, you know a committee of experts feeding
24 and using the website as a media to convey the
25 information or the latest updates.

1 MR. TAYLOR: So, really interesting concept.
2 Thanks for mentioning it. We have one idea or comment
3 here from Arthur, "Regarding EV chargers -- as
4 bidirectional EV chargers start becoming more
5 commercially viable, the website should give guidance to
6 customers on how they can use their EV as a home
7 battery."

8 Does the panel think that this website should
9 be a resource for that type of kind of next level
10 decarbonization? How to -- as new technology becomes
11 available, I guess we would share it. Any thoughts on
12 EV chargers specifically, or more the general kind of
13 pathway to decarbonization?

14 MR. LEMPEREUR: Yeah, the integration of the
15 vehicle and the home is definitely something that must
16 be addressed, right? And that sounds maybe like -- it's
17 going to be a dream that will come true, right? It's
18 going to be used. Right? We know with storage, with
19 storage from the vehicle and potentially a stationary
20 storage at the home -- how everything is going to play,
21 I don't have the expertise to answer that. But for
22 sure, working on a project at the level of city in New
23 York state, the combination of the two is largely being
24 discussed.

25 The integration of multiple technologies,

1 including, you know, EV charging, right? So, it's
2 multiple measures that needs to be understood and that's
3 part of the complexity of electrification. There's two
4 schools thought, right? Either we plan and we can be as
5 comprehensive as possible to look at a project, program,
6 or we start electrification with a couple of relatively
7 simple measures or basic measures and evolve. It can go
8 both ways, but there's too many questions from people in
9 general about electric vehicle.

10 And so, in my view, it's a yes, it should be
11 approached and discussed on that website.

12 MR. TAYLOR: Thank you, Dom. Tom, did you
13 have another comment? I see your hands up.

14 MR. KABAT: Yes, I did.

15 MR. TAYLOR: Go ahead.

16 MR. KABAT: You know, I think actually this
17 question and how we're addressing it is a great example
18 of kind of integrating that whole wiki concept, where
19 new ideas are coming up that we may not have included
20 when we first put things together. And that vehicle to
21 home type of thing, as well as a technology that almost
22 fit in to what Josie and I talked about, it was the new
23 technology of meter-collars as a very powerful way to
24 connect a circuit right between the meter and the house.
25 And a great place to be integrating those vehicles to

1 home chargers and providing that resilience as those
2 technologies are evolving.

3 So, having the CEC website up that might be
4 able to track what's the latest in the technology and
5 how is its approval being spread across California
6 utilities? Because different utilities adopt different
7 technologies at different, you know, periods. So, it
8 would be great to have kind of the, you know, the
9 approval map of where are these innovative meter collars
10 now approved. And I know they're approved in the L.A.
11 area, LADWP, but not yet in, you know, all the IOU
12 territories. So, they are advancing their way and the
13 site could help track that.

14 MR. LEMPEREUR: This is great. One of the
15 danger, also, of providing all the information
16 available, right, is just to make really a clear -- how
17 we communicate that if the specific technology is
18 available off the shelf, or if it's being, you know,
19 just established or designed, right, with delivery in
20 2024, right? I mean there's that -- that is -- and
21 people are getting excited, I want that technology
22 tomorrow, and it's not even fully developed or so on.

23 So, just to make a clear distinction, maybe a
24 different category, right, for people who are curious
25 about what's coming in the next year. Which is

1 exciting, I find that very exciting too. Part of my job
2 too. So, but, making -- you know, communication is
3 critical here. What is available today, what is coming
4 up so that should help people making decisions as well.
5 And being more informed, right?

6 MR. TAYLOR: Dorothy, I think we have one
7 attendee who would like to speak.

8 MM: Yes. Anne Arquit, and apologies if I
9 have misstated your name. You can give your question.

10 MS. ARQUIT: Yes, thank you very much. I just
11 wanted to begin by thanking Heriberto and Gabe for a
12 wonderful workshop. And also of course, to the
13 speakers. I learned a ton, I took a lot of notes, and
14 I'm probably going to be following up with some of you.
15 So, thanks a lot for a great event.

16 There have been a lot of mentions of the
17 importance of helping building decision makers invest in
18 products that reduce load and power draw. And I just
19 wanted to talk a little bit about this through an equity
20 lens. So, following up on some of the comments that
21 Shelly made just before.

22 First of all, it's important to note that the
23 largest component of electricity bills in California is
24 actually appliances and other plug loads, and the Low-
25 Income Potential and Goals study that came out last year

1 also found that almost 60 percent of low-income energy
2 efficiency potential is actually associated with plug
3 loads. And therefore, I think it's important to also
4 address the needs of renters who are making a fair share
5 of these buying decisions that affect grid requirements.

6 I just came across a really interesting study
7 by Apex Analytics that was done for MCE, and they
8 actually found that almost three quarters of single-
9 family renters and over 25 percent of multi-family
10 renters actually have authority for appliance purchases.
11 So, we should definitely make sure that we consider the
12 needs of renters when we're building out the site.

13 And the other point I just wanted to make is
14 that it's also really important to include market-based
15 approaches to empower low and moderate-income consumers
16 to decarbonize on their own. My company Enervee, we
17 operate online decarb marketplaces in California and
18 also across the country. And we most recently rolled
19 out a statewide online marketplace in partnership with
20 the CEC's counterpart in New York, which is NYSERDA.
21 And that marketplace specifically targets income
22 qualified households.

23 And the platform, you know, addresses a lot of
24 barriers to efficient purchases, but also the upfront
25 purchase price barrier that was talked about. And the

1 way we do this is by offering integrated eco-financing.
2 And we've seen really great uptake by underserved
3 borrowers with this new offering, including in
4 California where we've seen 70 percent of the loans
5 going to low and moderate-income customers, and 50
6 percent of the loans going to credit-challenged
7 borrowers.

8 And so, for example, if you had an \$800
9 appliance you would be able to buy it with monthly
10 payments of only about 20 bucks a month. And we also
11 are able to layer in all the incentives to buy down the
12 upfront purchase price. And so, you know, I think just
13 coming back to what Commissioner McAllister said at the
14 very beginning, it's important that this site serves as
15 an effective channel for incentives, both state and
16 federal incentives, as well as rate payer funded utility
17 incentives.

18 And I just wanted to point out that this is
19 already possible today and that we just really need to
20 ramp it up, and that the way we do this really is by
21 bringing all the parties together including retailers,
22 including contractor partners. So, I think we're really
23 set up well to do this right and to scale going forward.
24 Thank you.

25 MR. TAYLOR: Thank you very much, Anne.

1 MS. MURIMI: Back to you, Gabe.

2 MR. TAYLOR: Thank you. I see a couple other
3 questions here. The -- so, Dorothy, maybe you can make
4 a quick announcement to the attendees. If anyone else
5 would -- if any other attendees would like to make a
6 comment, it might be a good time -- idea for them to
7 raise their hand now, and then we'll finish up these
8 last couple of questions and then move to that public
9 comment period. Does that sound reasonable?

10 MS. MURIMI: Yup.

11 MR. TAYLOR: Alright.

12 MS. MURIMI: And once again, for folks that
13 are on the line who are calling in, press star-nine to
14 indicate that you'd like to make a comment.

15 MR. TAYLOR: Alright, couple more questions
16 here. Ralph DiNola mentions a How to Electrify Your
17 Home You Tube channel, and curated by a librarian on the
18 site. How do people feel about how to videos, including
19 video libraries, that sort of thing?

20 MS. KRISTIANSSON: I think, you know, they can
21 be useful. They can be done well or poorly, like
22 everything else. And there are resources already out
23 there. But there are certain things for which a video
24 is a really good tool to demonstrate things that, you
25 know, a picture is worth a hundred words. So, I think

1 not everything needs to be a video, but when it is the
2 right tool, it could be a really powerful way to do it.

3 So again, I think -- I do definitely agree. I
4 think Ralph had said and someone else had suggested
5 earlier, like a librarian, someone who can judge and
6 curate and that kind of thing would be really helpful.

7 MR. TAYLOR: We have -- you know, we do have
8 budget for ongoing maintenance for the site. Obviously,
9 this is going to take long term and close maintenance so
10 that is something that we are considering and we'll have
11 more details about that as we progress to a more fleshed
12 out plan.

13 Hiro mentions a question here -- Karen you
14 mentioned encouraging consistency across local
15 jurisdictions in terms of processes and program and what
16 not. But Hiro mentions that most -- many jurisdictions
17 have a cumbersome application of permitting processes,
18 and it's obviously a barrier to adoption of
19 electrification measures.

20 So how could the website help solve that? How
21 does this fit with the scope of our effort if -- or if
22 at all? Is this something that the state website could
23 -- the state resource could help with local permitting?
24 I saw some of the resources that you provided, Karen
25 provided, on the BayREN website. Maybe thinking along

1 those lines, perhaps? Although, obviously there are a
2 lot of jurisdictions within California, so that gets
3 quite complicated quite fast. I can think -- I have a
4 couple ideas. So, the panel, do you have any ideas?

5 MS. KRISTIANSSON: I'll jump in one more time
6 also, because I do need to drop off at 2:30 so I wanted
7 to get this in before I go. Which is just -- that's
8 exactly what we're working on with the permitting pilot
9 with the TECH Clean California initiative. And trying
10 to find resources that can really help local governments
11 do this when they're not familiar. Like what exactly do
12 I need to look for? Sometimes, you know, instead of an
13 over-the-counter permit, when it's a new technology that
14 they're not familiar with they'll send it off to their
15 plan checker, and of course that adds time and
16 difficulty.

17 So, making this process easier and faster and
18 just getting everyone on the same page -- this is what
19 you need to look for, so that both the building
20 departments know and the applicants know and all of the
21 building departments have that information, you know, at
22 their fingertips ideally. That's what we're trying to
23 do in the Bay Area, and I think TECH is working on as
24 well as part of the permitting pilot project.

25 So, I think the CEC website would be an even

1 better way to make resources commonly available that
2 local governments can take advantage of. And when a
3 question comes up, like a new technology that they
4 haven't seen before, they know where to go and they can
5 get it right there and know that's what they need to do.
6 So.

7 MR. TAYLOR: And that's consistent with the
8 legislation, which identifies three categories that this
9 website's intended to support, which is building owners,
10 building contractors, and local governments. So,
11 thanks.

12 Karen, I know you needed to go. There's one
13 more question here, feel free to drop off, Karen, if you
14 need to. But a question for the group. So, Anne
15 mentions that many multi-family buildings, in fact a lot
16 of tenants of multi-family buildings are actually owned
17 by individual owners in smaller buildings. So, one to
18 four-unit multi-family buildings owned by an individual
19 landlord. And these can -- it's obviously a large
20 universe of building owners who have mixed incentives
21 for these upgrades. Does anyone on the panel have
22 recommendations for what the best channels to reach
23 these individual multi-family owners would be?

24 Dom, I see you already answered here, you
25 mentioned Menlo Park and the contractors and cities.

1 Oh, you're muted, Dom.

2 MR. LEMPEREUR: Yeah, but cities is one
3 instance, right? And through funding from the state.
4 It's public information, so it was \$4.5 million coming
5 from the state going through Menlo Park so that's one
6 way. And Menlo Park is an interesting example, right?
7 Because we see Menlo Park as a wealthy area. But, you
8 know, there is also a different, you know, all the
9 targets including some low and especially medium-income
10 individuals and building owners.

11 Another thing also that we might think of is
12 really through contractors. I mean with developing
13 project electrification and project of any type, right,
14 there's different ways to actually tackle that based on
15 the size of the project, right? And some buildings
16 might, you know, larger buildings might need a more
17 thorough development, design and so on, the complexity,
18 right? And therefore, maybe a different way of
19 developing and installing a project.

20 But with small, I mean not small. Individual
21 homes of, you know, one to four as it was described in
22 the question, typically the most cost-effective way to
23 look at those project is really working closely with
24 contractors through, you know, distribution channels,
25 with the manufacturers having also a role that typically

1 -- that have seen going beyond just, you know, selling
2 equipment, right?

3 So, they're being proactive, there's a lot of
4 competition between the contractors. So, yeah, that's
5 my initial answer is really looking at those two
6 channels that we have observed, right, and identified.
7 There certainly may be others, but to answer the
8 question, you know, with some examples, that was my
9 initial answer.

10 MR. TAYLOR: Thanks so much, Dom. Any other
11 panelists want to weigh in on channels to reach multi-
12 family, small or multi-family landlords?

13 Eddie, I think you wanted to talk about the
14 RFI, right?

15 MR. ROSALES: Yes. Let me add a comment about
16 that. And I see one more hand up, so maybe we could go
17 to that hand after myself. So, we're kind of nearing
18 the end, so I want to make sure I get the plug in one
19 more time which is, we have a Request for Information on
20 our project docket.

21 We have a project docket that is facilitating
22 all comments. So, I think Mark had just posted another
23 comment, and then he had mentioned earlier about having
24 a wiki type process for improving some of the items on
25 the website. I think that's a good idea, and you know,

1 that's something we should probably look in to and work
2 through.

3 But a comment like that, for example, it would
4 be best if a comment like that, a suggestion like that
5 was on the docket. So please, go to the docket. Again,
6 it's 22 -- I'm going to put it on the chat box right
7 now. It's 22-DECARB-02, and it is facilitating just
8 this project. We are asking all stakeholders to submit
9 comments to that docket. We have the docket open right
10 -- or the comments and responses for the Request for
11 Information are still open, and it is open through
12 September 14th.

13 So please keep that in mind. Just want to
14 remind folks before, you know, we wind up here that
15 that's another process that's the official record for
16 this project and all comments and suggestions and ideas
17 are welcome there first and foremost. Thanks.

18 MS. MURIMI: And we have one more commenter,
19 Todd O'Connor. Todd, you can go ahead and unmute and
20 give your--

21 MR. O'CONNOR: Yeah, thank you. It's Tod
22 O'Connor, and I thank you for this opportunity to
23 comment. One area of building owners who did not get a
24 lot of play today was in the commercial area. And I
25 understand the need for focusing on homeowners and on

1 low-income communities, it just makes a lot of sense.

2 But in order to have a robust and
3 comprehensive building decarbonization program that will
4 also be related to EV charging, and this comes under
5 tools and resources, is to bring in commercial owners,
6 especially those commercial owners who rely on chillers
7 for their buildings. And I believe energy storage,
8 behind the meter energy storage, regardless of the
9 technology, could be a tool in the toolbox, pardon the
10 cliché, that the CEC can utilize on their website to
11 emphasize the need for getting chillers off the grid
12 during the most expensive time of the day. And also,
13 during the most stressful time of the grid of the day.
14 I've been in energy policy for a number of years,
15 especially in California, and I can tell you that the
16 grid is most stressed during the, you know, as we're
17 coming into what will be in Southern California, a week
18 of stressful periods on the grid.

19 And the more we can get those buildings, those
20 large commercial buildings off the grid during this
21 time, you do several things. One, is you take the
22 stress off the grid. Two, is you reduce --
23 significantly reduce greenhouse gas emissions, which is
24 one of the drivers for building decarbonization
25 electrification effort going on.

1 So, in order to be consistent with the
2 legislation that wants to create this website, I would
3 suggest very carefully that you reach out to U.S.
4 Department of Energy. They have a Buildings Office.
5 And they look at large commercial buildings as a way to
6 become virtual power plants, so grid asset buildings.
7 Because I think that goes a long way to meeting the
8 goals of creating the website under the local
9 legislation. And I'll amplify my comments with written
10 comments for the record, but I do want to bring that
11 out, that's important that in order to have a robust
12 comprehensive building decarbonization program that you
13 include commercial buildings.

14 And then the reason you do that, another
15 reason you'll want to do it is because you'll free up
16 existing capacity. So, in a constrained area like the
17 L.A. basin, it's very hard to bring in additional
18 capacity for EV charging. And also, those building
19 owners are going to be the ones who are going to be --
20 through load serving entities, are going to be the ones
21 who are going to have to meet the mandate for EV
22 charging stations. And given the very aggressive
23 deadlines, 2030 to 2045, we're going to need as many
24 viable options as possible to meet those deadlines.

25 So, if you can build up -- if you can use

1 existing capacity by reducing the pressure on the grid
2 and using that, and you can time the energy storage so
3 where you don't stress the grid but still can provide EV
4 charging, especially on a large scale, I think that goes
5 a long way to meeting the program.

6 Thank you for the opportunity to comment.

7 MS. MURIMI: Thank you, Todd.

8 MR. TAYLOR: Thank you, Todd.

9 MS. MURIMI: We have one more.

10 MR. TAYLOR: Dorothy, sorry to interrupt. But
11 I'm going to let the panel go, I think we're moving to
12 the public comment period. So, thank you very much to
13 the panelists, you can turn your cameras off. And feel
14 free to chime in if you want to have a comment just
15 raise your hand, and Dorothy will call on you. Thank
16 you.

17 MS. MURIMI: Thank you, Gabe. One more
18 commentor, Ralph DiNola. Go ahead and unmute and you
19 can give your comment.

20 MR. DINOLA: Hi, can you hear me okay?

21 MS. MURIMI: I can hear you. You're sounding
22 a little low, but we can hear you.

23 MR. DINOLA: I can try speaking up, is that
24 better?

25 MS. MURIMI: That's better, thank you.

1 MR. DINOLA: Thank for this opportunity. New
2 Buildings Institute is a California non-profit
3 corporation. And this year, NBI is celebrating our 25th
4 anniversary. As a market transformation organization,
5 we are driving building decarbonization to support
6 equitable and resilient buildings and communities. Our
7 collective work has helped to spark broad coalitions
8 that are advancing game-changing technologies such as
9 heat pump water heaters, metrics for grid interactive
10 buildings of the future, climate aligned building codes,
11 carbon neutral resilient school buildings, low-carbon
12 financing specifications, and much more.

13 But we applaud the work of the panelists today
14 and the CEC. We're excited to support the ongoing work
15 of the CEC, the CPUC, and CARB, as they work to
16 decarbonize the building sector and the California
17 economy. As we work to equitably electrify buildings,
18 transportation and industry, we would like to encourage
19 everyone to consider wholistic approaches, including
20 what we call the five foundations of building
21 decarbonization. Which include efficiency, renewable
22 energy systems, building grid integration with energy
23 storage and electric vehicle infrastructure,
24 electrification, and the building life cycle, which
25 includes low embodied carbon, materials, and low GWP

1 refrigerants.

2 So, we stand at the ready with research,
3 design guidance, software tools, webinars, factsheets, a
4 resource hub and convening. We have a lot of work to
5 do, but with this significant infusion of funding coming
6 from the state and the Inflation Reduction Act, the
7 Infrastructure Law, and numerous other initiatives that
8 are coming to the fore, we're optimistic that we could
9 make great progress together.

10 So, I'll share some additional resources,
11 maybe in the Q&A, and thank you for the opportunity to
12 comment today.

13 MS. MURIMI: Thank you, Ralph. So, going to
14 give one more moment for folks to use the raise-hand
15 feature, excuse me, use the raise-hand feature to
16 indicate that you'd like to make a comment. Or, if
17 you're on the phone, once again press star-nine to
18 indicate that you'd like to make a comment, and star-six
19 to unmute.

20 Seeing no more, Gabe, I'll hand the mic back
21 to you.

22 MR. TAYLOR: Thank you, Dorothy. And Ralph
23 and anybody else who has resources to share with this
24 proceeding and with the other stakeholders and also with
25 the staff to include on the website, please, please

1 submit written document to the docket. That will get it
2 in the formal record. Thank you so much.

3 Eddie, I'm going to turn it back to you. This
4 was an excellent second panel, I really liked how we had
5 the morning session where we focused on kind of what was
6 the potential was, what are the kind of things that we
7 should include in the website, in the afternoon we kind
8 of shifted a little bit more to the implementation of
9 the website. Obviously, staff has a fairly monumental
10 task here to respond to the requirements in SB 68, and
11 we're looking to our stakeholders to provide us
12 guidance. So, please keep the comments coming in. Thank
13 you very much.

14 Eddie, back to you.

15 MR. ROSALES: Thank you, Gabe. Yeah, that was
16 a great panel. Well, we are at the end, I see that our
17 Commissioner, Commissioner McAllister had to leave just
18 before we ended here, so we don't have a Commissioner
19 representative present. Real quick check with my
20 Efficiency leadership if there's any last comments they
21 would like to make before I log off and stop recording.

22 MR. SOKOL: Just a thank you to all the
23 participants and the panelists today. A lot of good
24 food for thought and a lot of good input as we approach
25 this proceeding here. Thank you.

1 MR. ROSALES: Thank you, Michael. And for
2 everyone's reference, that was Michael Sokol, our
3 director from the Efficiency Division. Thank you,
4 Michael.

5 With that, I will wrap up. I want to, again,
6 remind everyone to submit their comments both either as
7 panelists, because you are also stakeholders, and also
8 participants, to the docket. That will be the most
9 efficient and best way for us to review and evaluate
10 your comments and your ideas. If you have any questions
11 about even doing that, again, I have my contact slide
12 up. Please reach out to me and I will guide you through
13 the process if you need help there.

14 Other than that, that concludes this workshop,
15 thank you all for attending and have a great day.

16 (Whereupon the meeting was adjourned at 2:44
17 P.M.)

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of October, 2022.



ELISE HICKS, IAPRT

CERT**2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

October 5, 2022