

DOCKETED

Docket Number:	22-BUSMTG-01
Project Title:	Business Meeting Agendas, Transcripts, Minutes, and Public Comments
TN #:	247295
Document Title:	Transcript of the October 24, 2022 Business Meeting
Description:	N/A
Filer:	Liza Lopez
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	11/4/2022 3:49:07 PM
Docketed Date:	11/4/2022

BUSINESS MEETING

BEFORE THE

CALIFORNIA ENERGY COMMISSION

In the Matter of:)
) 22-BUSMTG-01
Business Meeting)
 _____)

MONDAY, OCTOBER 24, 2022

10:00 A.M. - 12:00 P.M.

Remote Access Only via Zoom

Public comment is accepted solely through the Zoom platform.

Please note that the California Energy Commission (CEC) aims to begin the business meeting promptly at the start time and the end time is an estimate based on the agenda proposed. The meeting may end sooner or later than the time indicated depending on various factors.

Pursuant to the California Code of Regulations (CCR), title 20, section 1104(e), any person may make an oral comment on any agenda item. To ensure the orderly conduct of business, such comments will be limited to three minutes or less per person. Any person wishing to comment on information items or reports (non-voting items) shall speak during the public comment portion of the meeting and have three minutes or less to comment.

Reported by:
M. Nelson

APPEARANCES (*Present via Zoom)

Commissioners

- *David Hochschild, Chair
- *Siva Gunda, Vice Chair
- *Andrew McAllister
- *Patty Monahan
- *Kourtney Vaccaro

Staff Present:

- *Drew Bohan, Executive Director
- *Linda Barrera, Chief Counsel
- *Mona Badie, Newly Appointed Public Advisor
- *Katerina Robinson, Chief Policy Advisor
- *Dorothy Murimi, Public Advisor's Office

Agenda Item

- | | |
|---------------------------|---|
| *Anand Gopal | 1 |
| *Chris Busch | 1 |
| *Damien Mimnaugh | 2 |
| *Jennifer Martin-Gallardo | 3 |
| *Alana Sanchez | 4 |

Also Present:

Other Presenters

- | | |
|---|---|
| *Dan Jacobson | 4 |
| *Jeff Hunerlach, OE3/Humboldt Building Trades | 4 |
| *Jana Ganion, Blue Lake Rancheria | 4 |
| *Amish Patel, Mainstream Renewable Power | 4 |

I N D E X

	Page
Proceedings	5
Items	
1. Information Item on Getting California on Track for 2030 and 2045 Climate Targets.	16
2. Overview of Commission Budget Augmentations from the 2022-23 Budget.	41
3. Information Item on Infrastructure Investment and Jobs Act.	49
4. Debrief of Offshore Wind Study Tour.	67
5. Lead Commissioner or Presiding Member Reports	95
6. Executive Director's Report.	118
7. Public Advisor's Report	118
8. Public Comment	78

I N D E X (Cont.)

	Page
9. Chief Counsel's Report	120
a. Pursuant to Government Code Section 11126(e)(1), the CEC may adjourn to closed session with its legal counsel to discuss the following matter to which the CEC is a party:	
i. <i>Interlink Products International, Inc. v. Xavier Becerra, Drew Bohan, Melissa Rae King (United States District Court for the Eastern District of California, Case No. 2:20-cv-02283)</i>	
ii. <i>Okemiri v. California Energy Commission, et al. (Sacramento Superior Court, Case No. 34-2018-00246019).</i>	
Adjournment	120
Reporter's Certificate	121
Transcriber's Certificate	122

1 P R O C E E D I N G S

2 OCTOBER 24, 2022

10:01 a.m.

3 (Start of Introductory Video.)

4 MS. MURIMI: Welcome to the California Energy
5 Commission Business Meeting. Zoom's closed-captioning
6 feature has been enabled to make Energy Commission business
7 meetings more accessible. Attendees can use this feature
8 by clicking on the "Live Transcript" icon and then
9 selecting either "Show Subtitle" or "View Full Transcript."
10 Closed captioning can be stopped by closing out of the Live
11 Transcript or selecting "Hide Subtitle." Those
12 participating solely by phone do not have the option for
13 closed captioning.

14 The Energy Commission will continue to post a
15 recording of this business meeting on the Business Meeting
16 webpage in addition to posting a transcript of this
17 business meeting rendered by a professional court reporter
18 in the docket system on the business meeting webpage.

19 To increase access to the California Energy
20 Commission's proceeding, this meeting is being held in-
21 person and is also available for remote participation.

22 The public can participate in the business
23 meeting consistent with the instructions for remote
24 participation found in the notice for this meeting, and as
25 set forth on the agenda posted to the Energy Commission's

5

1 website. Pursuant to California Code of Regulations Title
2 20, section 1104(e) any person may make oral comments on
3 any agenda item.

4 Once the public comment period begins, to
5 indicate you would like to give a comment in-person please
6 use the QR codes shown in the room and fill out the form.

7 For remote participants, please raise your hand
8 by clicking on the "Raise Hand" icon at the bottom of your
9 screen. If you are joining by phone, press *9 to raise your
10 hand and *6 to unmute.

11 To ensure the orderly and fair conduct of
12 business, public comments will be limited to three minutes
13 or less per person for each agenda item voted on today.

14 Any person wishing to comment on information
15 items or reports which are non-voting items shall reserve
16 their comment for the general public comment portion of the
17 meeting and shall have a total of three minutes or less to
18 state all remaining comments. After the Public Advisor
19 calls on you to speak, spell your name and state your
20 affiliation, if any.

21 Welcome to the California Energy Commission's
22 business meeting. The meeting will now begin.

23 (End of Introductory Video.)

24 CHAIR HOCHSCHILD: Well, good morning friends.
25 I'm David Hochschild, Chair of the Energy Commission.

1 Today is Monday, October 24th. I call this meeting to
2 order. Joining me are Vice Chair Gunda, Commissioner
3 Vaccaro, Commissioner McAllister and Commissioner Monahan.
4 We have a quorum.

5 Let's begin with the Pledge of Allegiance led by
6 Vice Chair Gunda.

7 (Whereupon the Pledge of Allegiance was recited.)

8 CHAIR HOCHSCHILD: Thank you, Vice Chair.

9 And before we get into the agenda, I wanted to
10 begin with some good news, which is that last Friday
11 Governor Newsom names Mona Badie as the new Public Advisor
12 for the Energy Commission where she will lead the Office of
13 Public Advisor Energy, Equity, and Tribal Affairs. I want
14 to say, Mona, we are all thrilled for you in this new role.
15 You've had a distinguished career at the Energy Commission
16 having served actually, I believe working with Commissioner
17 Vaccaro in the Chief Counsel's Office, Vice Chair Scott,
18 and most recently, Commissioner Monahan. I've been really
19 impressed with your diligence, your professionalism, and
20 the heart that you bring to the work.

21 I want to remind everybody the moment we're in,
22 this is an all-time high for our agency and nearly half a
23 century to be able to have over \$10 billion in money to
24 push out the door for the benefit of our state, our clean
25 energy future, our climate. And public engagement is

1 essential and that we do that well, with integrity, with
2 great vigor and energy. And you have big shoes to fill,
3 because you're following Noemi Gallardo. Who, I also want
4 to just extend my thanks again to Noemi, for really just
5 reinvigorating that office. And we know you will fill
6 those shoes in, and more.

7 And so I wanted to begin, if we could, just a
8 quick round of congratulations and any comments from my
9 colleagues, maybe starting with Commissioner Vaccaro if
10 you'd like, for Mona. And we'll go around everybody and
11 we'll have them just say a few words.

12 COMMISSIONER VACCARO: Good morning, Chair, and
13 thank you so much. I echo the words that you just shared
14 about Mona, I'm very thrilled about this appointment.

15 I'm just going to take this quick moment to
16 mention that Allan Ward and I conducted Mona's interview
17 together when joined us as an attorney in the Chief
18 Counsel's Office. And we knew there was a special person
19 there. In addition to the obvious intelligence, skillset,
20 experience, that there was something just about her
21 personality and her spirit as well that we felt. And we
22 knew there were great things to come for Mona. And the
23 Governor's appointment of her to this Public Advisor
24 position I think is just a testament to that.

25 So congratulations, Mona. And I think

1 congratulations to the CEC and the people of the State of
2 California for this appointment.

3 CHAIR HOCHSCHILD: Really well said.
4 Commissioner Monahan.

5 COMMISSIONER MONAHAN: Well thanks, Chair.

6 And I want to just say congratulations to Mona,
7 congratulations to all of us at the CEC. Mona has been my
8 advisor and companion and thought partner for the last
9 year, year-and-a-half or so. And so I do have a little bit
10 of mixed feelings about her leaving my office, I cannot
11 deny that. But I know that Mona is going to thrive and
12 really continue in the tradition of our former Public
13 Advisor Noemi Gallardo, in terms of really bringing in
14 communities but also coming at it with just empathy and a
15 big heart, in addition to her big brain and deep attention
16 to detail. So I just feel joy in terms of our ability to
17 continue to engage communities at a deep level, and really
18 try to every day pay attention to how our actions and our
19 research impact people on the ground. And especially
20 people who are struggling to pay their bills or who face
21 undue burden of air pollution.

22 So congratulations, Mona, congratulations to all
23 of us. And I think it's a wonderful appointment.

24 CHAIR HOCHSCHILD: Thank you. Let's go to
25 Commissioner McAllister.

1 COMMISSIONER MCALLISTER: Well just piling on
2 Mona, congratulations. I totally agree with all the
3 comments, just dealing, working with you, and having you
4 facilitate conversations about a wide range of items. And
5 just your combo of sort of intelligence and organizational
6 skills, but also just your people skills. You're just
7 going to do a great job bringing people into the Commission
8 and making sure that we have an open door that people know
9 is open and really willing and able to walk through. So
10 that's our lifeblood is getting people into our process and
11 then that kind of participation, like that's what gets us
12 our broad-based support for the things that we do as we try
13 to move this big needle. So I'm really excited to have you
14 on board in your new role, so thanks. I'm looking forward
15 to working with you.

16 CHAIR HOCHSCHILD: Thank you.

17 And Vice Chair Gunda?

18 VICE CHAIR GUNDA: Thank you, Chair. You all
19 already said wonderful things. I want to just reiterate
20 congratulations to Mona. And I can't really state how well
21 articulated the comments from all of you are.

22 I do want to extend a sincere thanks to Noemi,
23 who became a big sister to me personally in this. And like
24 I really got engaged into the public engagement under her.
25 And, Noemi, thank you for your leadership and commitment.

10

1 And the little I interacted with Mona over the last several
2 months I also see Commissioner Vaccaro's comment on how
3 special she is, really smart, thoughtful, and a deep
4 commitment. And it's a very special combination. And I
5 look forward to working with you learning from you, and
6 congratulations and all the very best on this important
7 role.

8 CHAIR HOCHSCHILD: Yeah, so thank you.

9 Mona, we'd welcome a few words if you like.

10 MS. BADIE: Thank you very much. I want to thank
11 the Chair for this opportunity. And Commissioners Monahan
12 and Vaccaro, Drew, and Noemi, for supporting my career
13 growth here the Commission. I love working at the
14 Commission, because of the people and because every day we
15 get to make a difference on climate change.

16 My parents immigrated to California from Iran in
17 the late 70s. And although I was born and raised in
18 California, I'm acutely aware of the importance of having
19 an open, accessible, and democratic government. And I've
20 dedicated my career to public service. So I'm excited to
21 continue giving back by serving as the Energy Commission's
22 Public Advisor. Thank you.

23 CHAIR HOCHSCHILD: Thank you, Mona.

24 Mona, I just want to say again we've talked a lot
25 about the incredible role that immigrants play in our state

1 and in this administration. And here at the Energy
2 Commission we're so enriched by families moving to
3 California from all over the world and bringing their
4 talents and heart. And this is yet the next milestone in
5 that journey. And we really want to welcome you to the
6 leadership team Mona, and excited to get to know you
7 better, to partner with you.

8 You've already passed the first test, which is
9 you did a long road trip with Commissioner Monahan and I.
10 If you can put up with me in the car for that many hours
11 that's strength of character. So looking forward to many
12 more.

13 And before we move on I also just wanted to
14 extend, I know I'm joined by all my colleagues in this, our
15 thanks to Dorothy Murimi again for running such a tight
16 ship. These meetings, particularly the ones online, are
17 not always easy. And Dorothy you've just been magnificent
18 in the Public Advisor's Office, keeping the trains running
19 so our gratitude to you as well.

20 And I will in a minute announce the winners of
21 the 2022 Clean Energy Hall of Fame awards. But before we
22 do, I have one other announcement I'd like to make which is
23 joining, as of today, is my new Chief Policy Advisor
24 Katerina Robinson who is also a superstar. Coming to us
25 from the Legislature where she was instrumental in the

1 Climate Budget we had this year and last year, in her
2 capacity as Budget and Capital Director for Senator Nancy
3 Skinner. And, Kat, if you're on we'd welcome just a few
4 words from you, and just anything you'd like to share about
5 your background. Great to have you on the team.

6 MS. ROBINSON: Hi. Thank you, Chair, for the
7 introduction. Sure, I can say a couple of quick words.
8 I'm in the office today for my first day. Really lovely to
9 see you all and I'm very excited to be joining the CEC
10 team.

11 My background is in the state Legislature. I
12 worked in the Legislature for ten years for various
13 legislators. And my very first experience in energy was my
14 very first year working for a state assemblymember from Los
15 Angeles at the time, where he wanted to work on a grant for
16 a piezoelectric energy program when I first started in the
17 Legislature. And from then it's been ten years of energy
18 and climate and housing and natural resources experience,
19 and it's all led me to today.

20 And last year, as the Chair indicated, in this
21 last legislative session we've done a lot of work to bring
22 a lot of great programs to the Energy Commission that I'm
23 very excited to help continue to get up and running on the
24 implementation side. And I look forward to meeting you all
25 as I start coming on tours and attending meetings. Thank

1 you so much.

2 CHAIR HOCHSCHILD: Absolutely. Well, welcome to
3 the team. And with that let's turn now to the winners of
4 the --

5 COMMISSIONER MONAHAN: Chair?

6 CHAIR HOCHSCHILD: Yes?

7 COMMISSIONER MONAHAN: Chair, I'm sorry to
8 interrupt, can I?

9 CHAIR HOCHSCHILD: Please, yes.

10 COMMISSIONER MONAHAN: So one of the things that
11 I've appreciated about you, Chair, is that you bring sort
12 of what's happening in the world to the Energy Commission
13 and give us a moment to think about it. And I just want to
14 acknowledge something. Our new Public Advisor, her family
15 comes from Iran. And I know she's been very worried and
16 excited and trepidatious, but also really hopeful about
17 what's happening in Iran right now, led mostly by girls in
18 terms of trying to bring a more democratic and safer
19 environment. And I'd just like to, kind of in
20 acknowledgement of our new Public Advisor, take a moment of
21 silence for those girls that are helping lead a revolution
22 in Iran and --

23 CHAIR HOCHSCHILD: Wonderful idea.

24 COMMISSIONER MONAHAN: -- just for a moment.

25 CHAIR HOCHSCHILD: Thank you.

1 (A moment of silence was observed.)

2 COMMISSIONER MONAHAN: Thank you.

3 CHAIR HOCHSCHILD: Thank you so much. That was a
4 wonderful idea, Commissioner.

5 With that, we do have some good news to share
6 around the 2022 Clean Energy Hall of Fame awards. This is
7 the third annual ceremony we've done for this. And I want
8 to just acknowledge six incredible winners beginning with
9 Dr. Carol Zabin, Founder of the UC Berkeley Labor Green
10 Economy Program. And she is the winner of our Lifetime
11 Achievement Award.

12 Followed by Kelly Tung, President and Executive
13 Director of Youth Environmental Power Initiative, which is
14 the Youth Game Changer Award.

15 Followed by Tishmall Turner, Vice Chairwoman of
16 the Rincon Tribal Council of the Rincon Band of Luiseno
17 Indians. And she is the Tribal Champion Award winner.

18 Followed by Sean Armstrong, Managing Principal of
19 Redwood Energy, Clean Energy Champion Award winner.

20 Nalleli Cobo, Cofounder of People Not Pozos and
21 South Central Youth Leadership Coalition, and she is also a
22 Clean Energy Champion Award.

23 And then Dr. -- I hope I'm saying this right --
24 Martinrex Kedziora, Superintendent of Schools at the Moreno
25 Valley Unified School District, and who's also a Clean

1 Energy Champion Award winner.

2 So congratulations to all of you. These winners
3 were chosen out of a pool of 240 applicants, and they're
4 doing really pathbreaking work. As we always say, the
5 selection committee, which is an incredible committee that
6 sifts through these applications, they don't make mistakes.
7 All of these winners deserve these awards and are really
8 being lifted up, because they've distinguished themselves.
9 And so it's really our honor to celebrate these incredible
10 leaders on the frontlines, and we'll be having a ceremony
11 in-person December 8th, from 2:00 to 4:00 p.m. That will
12 be in our beautiful, new auditorium at the Natural
13 Resources Agency and I look forward to all of you joining.

14 So we'll turn now with that to Item 1,
15 Information Item on Getting California on Track for 2030
16 and 2045 Climate Targets. I welcome Anand Gopal to
17 present.

18 MR. GOPAL: Thank you, Chair Hochschild. Thank
19 you all for having me and I am the Executive Director of
20 Policy Research at Energy Innovation. Energy Innovation is
21 a climate policy analysis think tank. We're the largest
22 office in San Francisco, a lot of our staff is in the Bay
23 Area. But we also have Washington, D.C. office, and folks
24 scattered around the country in the post-COVID era.

25 I just wanted to also add a word that I'm a

1 Californian for half my life and from the country of India
2 for the other half of my life, so happy Diwali to
3 everybody.

4 And with that, I'll show you and share a little
5 bit about the modeling work that our team has done using an
6 open-source model called the "California Energy Policy
7 Simulator," to try to see the best pathway we can to
8 achieve California 2030 and 2045 climate targets. And with
9 that I'll try to share the screen and make this work. One
10 second. Okay, is everyone seeing full screen? Yes, great.

11 MS. MURIMI: Yes, we are.

12 MR. GOPAL: Wonderful.

13 So once again, so thank you so much. And it's an
14 honor to be to be invited to present here on the work that
15 our team has done where we did modeling to see how to
16 achieve California's 2030 and 2045 climate targets. And
17 for that, we released this study in June. And the model
18 that is used here is the California Energy Policy
19 Simulator. And the Energy Policy Simulator is an open
20 source, peer-reviewed, system dynamics model that
21 characterizes energy transitions and is sort of rooted in
22 modeling the most common climate policies that are actually
23 enacted and discussed in most jurisdictions around the
24 world. So unlike the more common models you'll see with
25 integrated assessment models, which usually have a carbon

1 price as a core policy and is set on achieving specific
2 targets, we can achieve those targets but we sort of build
3 them up using policies that are commonly seen by
4 jurisdictions that have enacted climate policies. And
5 leading amongst those is California.

6 The model that we use is calibrated on a lot of
7 authoritative sources. We prioritize data from official
8 sources, including the current inventory. And you'll see
9 on the right the graph showing the two lines for the Draft
10 2022 Scoping Plan, business as usual in terms of emissions
11 and our models.

12 And the main difference really comes from sort of
13 a bottom up, we try to match the CARB inventory. And
14 actually their scoping plan has a slight mismatch with the
15 inventory for 2019. And that's what causes the sort of
16 model discrepancies that you see, but the trend lines are
17 what we should pay attention to here.

18 And also, one important thing is that we have all
19 of these scenarios available online at
20 california.energypolicy.solutions. So once I'm done
21 talking about this I urge you all to go to that website.
22 And you can actually construct a lot more graphs than what
23 I'm going to show using that web tool. And everything that
24 I'm speaking of will be available there.

25 So what we did is we modeled three policy

1 scenarios. Just to be clear the scope of the study is very
2 similar to what is covered under the ARB Scoping Plan.

3 And the other thing that I want to iterate is we
4 will go through certain scenarios. And our goal here is to
5 try to identify the best ways in which California can try
6 to get to a 260 MMT, CO2-equivalent target in 2030
7 according to SB 32, which is a 40 percent reduction
8 relative to 1990 levels.

9 And our goal, again, is to try to do this
10 focusing on cost-effectiveness of the policy. So to be
11 clear we actually include a wide suite of technologies, and
12 we'll get into some of the technologies. But I wanted to
13 emphasize that we are not pro or against any specific
14 technology, we just try to look at what are sort of the
15 trends and cost-effectiveness that we foresee using our
16 expertise in forecasting technology trends.

17 And the Business-as-Usual in our scenario
18 captures all the settled policies. Chief among those that
19 have been passed recently include the Advanced Clean Trucks
20 Rule and the ACC II.

21 And then we have a second scenario that's
22 Committed Policies. The main difference between the BAU
23 and Committed Policies is a fairly ambitious, sustainable,
24 community strategies scenario that involve VMT reduction.

25 And then (indiscernible) --

1 CHAIR HOCHSCHILD: Hey, Anand?

2 MR. GOPAL: Yes?

3 I was just going to say also, Commissioners, if
4 anyone has questions I think it's best to just interject
5 those as we go through this. Were you can ask a question
6 Vice Chair or were you just stretching your hand?

7 VICE CHAIR GUNDA: Oh sorry, I was just touching
8 my hand. Sorry.

9 CHAIR HOCHSCHILD: Okay.

10 VICE CHAIR GUNDA: I was just excited about
11 Diwali. (Laughter.)

12 CHAIR HOCHSCHILD: Hand-waving is welcome too.
13 So all right, please continue now.

14 MR. GOPAL: There you go. Diwali, the day an
15 Indian became the British Prime Minister.

16 So the other one I think that's important is what
17 we try to do with a deeper -- and by the way, yes, I would
18 be happy to take questions in between now, please feel free
19 to interrupt. The Deeper Decarbonization scenario that we
20 look at is to try to then get at getting the 2030 target
21 and then the 2045 carbon neutrality target. And we choose
22 it based on what our assessment is on cost-effectiveness.

23 So if we then add in the graph for the Deeper
24 Decarbonization scenario that we modeled, essentially what
25 we're looking at is a 2030 emission of about 223 million

1 metric tons, which is below the target. It doesn't get to
2 55 percent. That may be a question that is on many of your
3 minds, given the attempt in August to have a more stringent
4 target. It does get to 48 percent below 1990 levels.

5 And here, just for the sake of the presentation,
6 the most effective policies that we find -- and the next
7 slide I'll show you the cost -- industrial fuel switching,
8 a combination of electrification and hydrogen. The
9 electrification that we do is pretty deep. It's focused on
10 industrial heating and it doesn't restrict itself to low
11 temperature heat. We choose hydrogen where we are a little
12 bit unsure about whether electrification can meet certain
13 thresholds for heat, but it goes pretty high and it also
14 penetrates well into higher temperatures. Hydrogen is
15 primarily used in our scenarios for chemical feedstocks and
16 a switch to electrolysis for existing uses, including
17 ammonia production.

18 Building electrification is a pretty aggressive
19 target here, that by 2030 electrification of 100 percent of
20 building energy components sold for new construction and
21 existing buildings.

22 Zero emission vehicles, again it's 100 percent
23 ZEV sales target by -- not target -- that we need to
24 achieve 100 percent new sales of passenger vehicles by
25 2030. And 100 percent zero-emission vehicles in the heavy-

1 duty tractor-trailer segment by 2035.

2 And the clean electricity standard is essentially
3 needs to be about 94 percent clean by 2030.

4 Again, all of these are not -- like we point out
5 is what is needed in order to get to the 1990 target and
6 then continue on to 2045. We realize that these are all
7 pushing the envelope a little bit more than what federal
8 policy is at the moment, and we'll be happy to talk about
9 that.

10 Just to be clear on electricity, the PUC asked
11 for 38 MMT in 2030 if I'm not mistaken. And our scenario
12 comes up with the power sector at 30.5 million metric tons
13 in 2030.

14 And, again, what we see here is if you average
15 out the annual emissions reductions between 2024 and 2050,
16 industrial is actually the one that has the biggest on
17 average. You will see later that a lot of those emissions
18 reductions are made from the industry sector comes after
19 2030. And it's also actually the more expensive one.

20 Every one of the others are actually negative
21 costs. And we can talk a little bit about learning rates
22 and how we modeled technology prices in here, but what we
23 find actually is zero emission vehicles is extremely cost-
24 effective. And some of this does include the benefits that
25 have now come through from the IRA. But not all of them

1 have not been updated since the June release of the model
2 that was pre-IRA, or should I say, Irah (phonetic). That
3 might be better than calling it I-R-A.

4 So that's the sort of summary of the of the
5 policy suite that are the most influential in our scenario.
6 If you then take a look at it in terms of greenhouse gas
7 wedges what you'll see here is essentially by 2030 we want
8 to see significant progress on -- we need to see
9 significant progress on the power sector. And then all of
10 the other ones that we highlighted cause or result in the
11 bulk of the emissions reductions by 2045. But it also
12 includes other things that we're not highlighting here,
13 just to be clear, including some in ag as well as low
14 carbon, cement, CCS and industry. All of those are
15 necessary to get to the 2045 target.

16 COMMISSIONER MCALLISTER: Anand, can I jump in
17 really quick with a question?

18 MR. GOPAL: Yeah.

19 COMMISSIONER MCALLISTER: So on the previous
20 slide, just very notable, the benefits from the EV space.
21 Could you tell us sort of what categories of benefits
22 you're including there? I mean, that air quality and
23 health, or like what's the sort of range of benefits that
24 add up to that big negative number?

25 MR. GOPAL: So actually I'm also happy my

1 colleague, Chris Busch is online. The way we do these
2 cost-effectiveness calculations is we don't actually try to
3 account for a bunch of externalities and put dollar values
4 on those. This is purely based on cash flow, essentially,
5 that we get that much. So essentially the price of
6 vehicles starts going down and at some point we're reaching
7 basically a benefit-benefit scenario, and then lifetime
8 savings essentially.

9 COMMISSIONER MCALLISTER: Oh, okay.

10 MR. GOPAL: All right. And, Chris, jump in if I
11 misstated that.

12 Okay. So the other thing that we wanted to focus
13 on here it's also an important thing that some of these
14 numbers are going to look even better post-IRA.

15 COMMISSIONER MONAHAN: Anand?

16 MR. GOPAL: Yeah, go ahead.

17 COMMISSIONER MONAHAN: I'm sorry. Sorry to
18 interrupt, are you going to walk through the wedges? Or
19 can I ask questions about the wedges or should we --

20 MR. GOPAL: Please go ahead.

21 COMMISSIONER MONAHAN: Can you tell us more about
22 the electrification plus hydrogen wedge, which is the
23 biggest?

24 MR. GOPAL: Ah, yes. In fact, if you don't mind
25 holding on I will show you where we have hydrogen in our

1 scenarios versus what we see in the CARB scoping plan.

2 Just to highlight a high level right now is that
3 electrification kind of dominates that essentially,
4 including for industrial heat. And we deploy hydrogen
5 where you kind of need chemicals as a feedstock, and then
6 some heating processes where we're not sure about the cost
7 and possibilities of electric heating. So essentially
8 doing combustion substitution for industry only, so we do
9 not have a lot of hydrogen. In fact, we don't have any
10 hydrogen in transportation. And I'll talk about that in a
11 few slides.

12 COMMISSIONER MONAHAN: And then one last
13 question?

14 MR. GOPAL: Yes.

15 COMMISSIONER MONAHAN: So the zero emission
16 vehicles, I'm surprised the wedge is so small. Actually, I
17 thought it would be bigger, because they're currently -- I
18 mean, it's about 40 percent tailpipe, 50 percent if you
19 count the full lifecycle of transportation, but the wedge
20 is so small. Can you tell me more about that?

21 MR. GOPAL: Yeah, it's a good question. So one
22 thing to keep in mind is that the fleet turnover happens a
23 little bit later. But yeah you're right, that even in the
24 2045 scenario we're looking at the wedge being smaller than
25 what we see for electrification plus hydrogen. And that's

25

1 also because I think what we see here is a switch-over with
2 a clean power essentially is a little bit lower essentially
3 in the first decade, and that'll be 2030. And then after
4 that what we have is all of the switch from gasoline over
5 to electric.

6 I'm going to ask Chris if there's anything that's
7 showing the wedge in terms of California's share of
8 transportation that looks abnormal here, essentially to
9 build this.

10 MR. BUSCH: No, I'd say you've got it exactly
11 right. So what's going on is that this includes advanced
12 clean cars too. And so if you went back pre-advanced clean
13 cars too, it's about twice as big. It was closer to 30 on
14 average, so on par with the industry wedge. So a lot of
15 what's going on is related to the baseline. And I'm just
16 waiting for the power sector people to get mad that the
17 orange slice isn't any bigger. But just to complete the
18 dynamics, so that's essentially reflecting the -- just
19 joking of course -- reflecting the pretty aggressive BAU
20 assumptions on reaching 100 percent in power.

21 MR. GOPAL: Good point. Sorry, that was the main
22 thing about it. ACC too is in this baseline, that's why
23 the wedge is not as big.

24 So for the other thing that's really important,
25 one of the things that we find actually post-IRA is that

1 the jobs and GDP in the modeling that we've done is all net
2 positive directly from the very beginning. So and what we
3 don't actually account for is the full jobs benefits of
4 IRA. Because IRA's provisions, almost all of them have a
5 lot of requirements of onshoring and domestic
6 manufacturing. That's not captured here. This is
7 essentially capturing the sort of fact that we have jobs
8 benefits from the fact that everything else is a lot
9 cheaper, from when you switch over to clean. We're taking
10 into account the fact that renewables are a lot cheaper,
11 and batteries are a lot cheaper. That puts a lot of money
12 back in the pocket of consumers and you see a significant
13 increase in that.

14 Our guess is if you took into account the full
15 effect of IRA and California really takes advantage of say
16 concepts like having more production of lithium or
17 batteries within the state, the manufacturing jobs are also
18 going to go significantly higher. Then --

19 COMMISSIONER VACCARO: So, Anand, I have a real
20 quick question.

21 MR. GOPAL: Yeah.

22 COMMISSIONER VACCARO: Hi, Commissioner Vaccaro
23 here. I just wanted to pull the thread a little bit when
24 you were mentioning that you said renewables are cheaper.
25 I'm wondering like what your set of renewables is that

1 you're speaking of when you say that? Because I feel like
2 it's some are cheaper, but I don't know that generally
3 speaking, we can say that across the board. So would you
4 mind just sort of letting us know what you're thinking?

5 MR. GOPAL: Yeah, absolutely. So our grid mix in
6 our scenarios includes a substantial amount of utility-
7 scale solar PV, distributed solar PV, offshore wind that
8 now meets the 2030 target, essentially. And that is again
9 taking into account with global pricing drops that we have
10 programmed in there with updates including the latest from
11 the UK, and onshore wind, geothermal. Diablo Canyon stays
12 open in this scenario out to 2030. And anything else I'm
13 missing, Chris?

14 MR. BUSCH: I would just add that the savings
15 we're looking at are the net present value through 2050.
16 So for the example of clean energy standard, the other
17 metric that the web app provides is 2030. And because the
18 investments haven't -- we don't see the benefits paying off
19 over time. In that case you'd see \$188, a positive cost
20 for a clean energy standard. So that'll help people
21 understand what's going on with that metric, I think.

22 MR. GOPAL: So yeah, I think the cheaper ones in
23 our scenario relative to gas including peaker and -- peaker
24 is not a problem, but including baseload -- is definitely
25 the renewables, including offshore wind. Existing

1 geothermal is basically what we keep online. Nuclear is
2 not cheaper, but I don't know if you've meant to include
3 that in Renewables or Clean, but I really just wanted to
4 highlight that. Thank you. Great question.

5 I'll talk about health benefits really quickly.
6 And I'll talk a little bit about hydrogen and CCS and then
7 conclude there, so that I don't take up too much more time.
8 What we do, what we are able to do in the Energy Policy
9 Simulator is also characterize the health benefits, broken
10 up by race. And what we find here is more beneficial
11 impacts on public health benefits for communities of color
12 in California.

13 This scenario that we looked at in Deeper
14 Decarbonization avoids approximately 1,300 premature deaths
15 due to air pollution in 2030, and 3,900 in 2045. But the
16 more important thing is all the sort of comorbidities and
17 other benefits that come in the form of avoided asthma
18 attacks and a few others. I'm happy to share some of those
19 details. And lost workdays due to morbidity, and things
20 like that are all substantially better than just looking at
21 the avoided death metric.

22 We wanted to show a quick graph on sort of
23 comparing the role of hydrogen in the scenarios that we
24 model relative to the Draft Scoping Plan from June 2022.
25 So we actually have a little bit of higher hydrogen in the

1 earlier stages. And essentially that is driven by what we
2 are doing as much as possible to decarbonize the industry
3 in the first decade, as opposed to managing industrial
4 emissions just with CCS. So we try to get at the source
5 and that's why we have a little bit of hydrogen earlier on.

6 And then later on we have less, because we
7 actually don't have hydrogen in the road transportation
8 sector at all. And that is kind of the drivers behind it.
9 Just quickly showing the hydrogen for transport in the
10 proposed scoping plan, there's some hydrogen in light-duty
11 vehicles, medium-duty vehicles, and a lot in heavy-duty
12 vehicles. Ours does not have that.

13 And also, hydrogen blending is included in the
14 proposed scoping plan scenario for natural gas pipelines.
15 That sort of linearly starts ramping up from 2030. We have
16 hydrogen in industry. And that's essentially it, so that's
17 also something just to keep in mind here.

18 The other thing that we do have also is carbon
19 dioxide removal. Essentially, the graph on the left shows
20 the difference between our deeper decarbonization scenario
21 and what is in the proposed scoping plan. We have CCS. We
22 don't have DAC. And I'll get DAC a little bit, which is
23 again, not a comment on whether we need DAC. We might need
24 it, but we just wanted to sort of account for the
25 electricity required for it. And we'll talk about that in

1 the next slide.

2 The scoping plan has sort of this linear increase
3 in DAC from about mid-2032, out to 2045. We have CCS in
4 industry, and towards the end a little bit in the power
5 sector for 2045 carbon neutrality.

6 The total amount we're seeing in terms of carbon,
7 carbon negative, is about a little bit over 10 million
8 metric tons when compared to over 80 is what we see in the
9 scoping plan.

10 As many of you probably know this, we looked at
11 the Alt 3 2045 scenarios, about 80 million metric tons of
12 direct air capture. The estimated electricity to sequester
13 that much carbon using DAC is -- unless the technology will
14 improve I'm sure by 2045 -- based on what we know so far is
15 about 9 percent of total electricity demand. This is
16 what's in the pathways model from E3. And the reason we go
17 more aggressively on actually tackling emissions at source
18 in the first decade to get to the 2030 targets is because
19 then we can use a lot of that new clean electricity to
20 serve end users in vehicles and homes.

21 And the other thing I should note is that our
22 electrolyzers are grid-connected, so that we essentially
23 are trying to make the clean grid serve as many end users
24 as possible. And also then be able to see if we can take
25 advantage of the IRA incentives to get those cleaner

1 appliances and electric vehicles into poorer communities of
2 color across the state.

3 And that is what I have. I've also got other
4 materials to support some of these things that we've
5 presented, but I'll pause there and take questions.

6 COMMISSIONER MONAHAN: Anand, can you give us
7 more information about why your analysis indicates that
8 hydrogen would not go for transportation?

9 MR. GOPAL: Yeah, it's basically the way we are
10 doing learning curves within our model. So we look at
11 empirical data from batteries, essentially over the last
12 decade, and energy density improvements. And so we see
13 those servicing Class 8 long haul and also being able to do
14 that quite a lot cheaper. In fact, even a UC Davis study
15 that came out recently that looked at battery-electric
16 long-haul Class 8s found that to be cheaper on a lifecycle
17 basis than hydrogen fuel cells. And so we picked that
18 essentially to service that sector. And we don't find it
19 to be anywhere near cost-effective in any of the other end
20 uses for transportation.

21 COMMISSIONER MONAHAN: And just one quick follow-
22 up question, then what are you assuming in terms of battery
23 density or battery chemistry changes that would facilitate
24 that?

25 MR. GOPAL: So I'm definitely going to have Chris

1 help me with this question here.

2 So one of the things that we want to make sure
3 that we convey is that we don't assume fundamental battery
4 chemistry changes between now and 2045. So they're all
5 lithium-ion based chemistry, they just have sort of
6 different segues. I don't think we even have any
7 assumptions around switch to solid state, for example,
8 they're just using different chemistries within lithium-ion
9 LFP, NMC and those.

10 And when it comes to energy density, again, that
11 has been the main driver essentially across that. I don't
12 have the exact number off the top of my head. Today we're
13 looking at light-duty packs at around 260- or 270-watt
14 hours per kilogram. And we have some improvement I'm sure,
15 but I'm not at -- those are not at the tip of my tongue
16 here. Chris, do you want to say anything on this?

17 MR. BUSCH: I would agree with everything you
18 said. I would just point out I think the standard in
19 learning curves is not to be technology, or some -- a lot
20 of learning curves are technology-specific. You might just
21 look at say the levelized cost of energy from solar. And
22 you can have embedded in that different introduction of new
23 technologies.

24 And so I think when you look at a range of
25 innovations sort of in the near term -- and then Anand had

1 mentioned solid state -- and if you look at the historical
2 tendency to underpredict innovation and you look at the
3 number of factories coming online, compared to where we are
4 now, we're going to be seeing multiples that point to major
5 economies of scale continuing. So to the extent we see any
6 price pressures currently we see those as, I'm not going to
7 say transient, but temporary.

8 COMMISSIONER MONAHAN: Thank you. That's very
9 helpful.

10 COMMISSIONER MCALLISTER: If nobody else has a
11 question, I just wanted to ask about the industrial sector.
12 I noticed you sort of put that at the top of your list in
13 terms of reduction potential. And Commissioner Monahan and
14 I are working on the industrial piece. And I'm just
15 wondering kind of where you're identifying those savings?
16 I mean, cement is an obvious place and kind of setting that
17 to one side is pretty unique process that -- a lot of
18 emissions from the process itself, as well as the heating
19 piece of it. Where else? Like chemicals it's pretty
20 diverse, not really monolithic, kind of huge, individual
21 process-based reductions as far as we can tell. And our
22 staff has been looking into this. A lot of a lot of
23 industrial emissions are adjunct to oil and gas. Where are
24 you seeing those potentials?

25 MR. GOPAL: Great question. I'm going to start

1 off and definitely have -- by the way, I did not introduce
2 Chris Busch. Chris Busch is our Transportation Initiative
3 Program Director as well as our Senior Economist at Energy
4 Innovation.

5 So one area we identified -- that is not the
6 largest wedge, I'll have Chris weigh in on that -- which is
7 what is being quite neglected is sort of switching food
8 processing heating over to industrial heat pumps, and
9 that's sort of in there. Chris, do you want to weigh in?

10 I think the only other thing we'll also add here
11 is that we actually let refineries reduce overall
12 production in California. As California gasoline demand
13 goes down we don't actually plan to continue to use the
14 refineries, because a lot of refineries produce California-
15 specific sort of CARB off-duty (phonetic) you know,
16 boutique fuels essentially.

17 So Chris, do you want to add more on which other
18 industrial sectors are key here?

19 MR. BUSCH: Well, one other thought would be that
20 there's an interesting potential in food and beverage
21 processing. And when we added up the food and beverage,
22 and food and beverage processing industries' segments in
23 the pathways data, those were actually the largest single
24 industry sector user of natural gas after extraction and
25 refinery. So I think cement outweighs food and beverage

35

1 processing, because of the coal and the pet coke and the
2 like.

3 And I'm sure Anand could talk about some
4 interesting work our colleague and he have been doing in
5 terms of industrial heat pump availability for low-
6 temperature heat applications.

7 MR. GOPAL: Yeah, that. I think just one thing
8 to round out on this is the reason also the industrial
9 wedge is so large is right now there's no proposed
10 policies. Or settled as part of BAU as opposed to, say ACC
11 II being really --substantially capturing a lot of the
12 tons. So that's why you're seeing that so much more is
13 needed, essentially, in terms of action in that sector.
14 Yeah.

15 COMMISSIONER MCALLISTER: Oh okay, that helps a
16 lot. Thanks for all those clarifications, appreciate that.

17 MR. GOPAL: Yeah, of course.

18 COMMISSIONER VACCARO: I had a quick question if
19 I may? I'm just wondering if your modeling or any of your
20 cost calculations, whether or how they're taking
21 transmission infrastructure into account?

22 MR. GOPAL: Yes, we are.

23 Actually Chris, do you mind weighing in on this?
24 Because you and I just looked at those numbers this
25 morning, but you helped me with them.

1 MR. BUSCH: Well the thought that came to my
2 mind, I'm not sure if this is exactly what you're getting
3 at, is just we do roll in several reliability investments
4 into the clean energy standard policy. So I think I would
5 have to double-check and so I'm hesitant, a bit hesitant to
6 cite specific numbers. But I know, for example, we have a
7 big increase in battery storage and I --

8 MR. GOPAL: So 5,900 megawatts of added battery
9 storage and certain, fairly high levels of investment in
10 transmission, which I'll be happy to share with you right
11 after. It's in the report. Sorry to interrupt, Chris.

12 Just one important point, because it's a really
13 important question here. Our team, the electricity team on
14 Energy Innovation, worked I think with Commissioner Gunda
15 earlier in the year, and also came up with an 85 percent
16 clean scenario that's highly reliable for California. So
17 we incorporate those findings in this essentially. So
18 that's why we need sort of a more diverse mix of clean
19 power like I alluded to earlier. We incorporate
20 substantial amounts of battery storage, I think, at least 6
21 gigawatt hours if I'm not wrong. And also making sure that
22 we have enough transmission buildout to accommodate the
23 clean that's in our scenarios, essentially.

24 So that does not solve for the barriers for that
25 transmission build. That's important to note, yeah.

1 COMMISSIONER VACCARO: Okay. Yeah, thank you.
2 And what readily comes to mind for me is I think about
3 offshore wind. So you built offshore wind into your model.
4 You have certain projections about cost. But as we're
5 looking at offshore wind here in California we're
6 approaching the first ever offshore wind lease sale this
7 December we still are solving for some of the transmission
8 questions and issues. And so as you are giving numbers
9 about offshore wind I was also wondering, for instance how
10 broadly you're looking at that, because transmission is
11 really an important piece in the north coast. Needs and
12 opportunities are different in central, as you are aware.

13 MR. GOPAL: Actually I lived for my first four
14 years of California up in Humboldt County. So I know that
15 the maximum capacity out of there is 140 megawatts at the
16 moment, which is fairly way short of taking advantage of
17 the lease sales up in Humboldt Bay. Yes, we're aware of
18 that. What we do is in our scenarios they need to be
19 solved. I need to be clear about that, for the deployment
20 rate that we're seeing, to have it correct.

21 VICE CHAIR GUNDA: Yeah, and this is Siva. I
22 just wanted to -- first of all thank you for the
23 discussion, you and Chris. I just wanted to ask one
24 foundational question on the tool itself. How is it taking
25 into account the different -- for example, on the

1 electricity system the resource build -- what types of
2 assumptions does the tool take in? And what is kind of
3 programmed in for a potential optimization of the pathways
4 that you've done here?

5 MR. GOPAL: Yeah, so this is a great question.
6 So the Energy Policy Simulator, the reason it runs really
7 fast is that it does not do optimization. So the
8 electricity sector modeling is not the same as say, using
9 ReEDS as a capacity expansion model, or even PLEXOS for
10 dispatch, and the sort of 87-60 (phonetic) 15-minute
11 increments that they make sure that load matching happens.

12 What we do is ensure that we are able, the way we
13 build it out is we do energy matching essentially and then
14 we sort of build the loading order based on costs going
15 forward. And we are able to program in retirements, and
16 then factor in incentives and bringing on new capacity on
17 online.

18 The way we address some of the shortcomings
19 within the simulator to characterize the electricity
20 systems, is we work with the electricity team that usually
21 contract with other colleagues and friends of ours to run
22 ReEDS or other models. And we then import in some of the
23 capacity mixes in from there into how we model the power
24 sector for key years, going forward. That is simply how we
25 will probably do it.

1 We are doing some improvements in characterizing
2 the electricity sector within the Energy Policy Simulator.
3 That should be done early next year. So it'll be even
4 better than just making sure that there's energy matching
5 and sort of cost going forward.

6 So those are definitely limitations. And the way
7 we always do that is make sure that we take input from
8 better capacity expansion model.

9 VICE CHAIR GUNDA: Thank you, Anand. I know we
10 have a more in-depth kind of one-on-one on this, so I look
11 forward to that. It's really helpful. I look forward to
12 learn how it could be used and learn from this tool. Thank
13 you so much for your time.

14 CHAIR HOCHSCHILD: Anand, thank you so much.
15 We've got to move on to other items here. But I just hope
16 everyone can see why I wanted Anand to present. And I have
17 to say it's very validating for me, at least to see this,
18 because it's so highly aligned with our strategy. So just
19 really want to appreciate you, Chris and the team for all
20 the diligence to produce this and look forward to
21 continuing to engage as we go forward. So thank you all.

22 Unless there's other questions we will let you
23 go. Thank you.

24 MR. BUSCH: Thank you.

25 MR. GOPAL: Thank you, Chair Hochschild. All

1 right. Let me unshare. There we go. All right, thanks.

2 CHAIR HOCHSCHILD: Okay, so let's move now to
3 Item 2, Overview of Budget Augmentations for the 2022-2023
4 Budget. And, Anand, you're welcome to stay on and listen,
5 it's actually exciting stuff. But let's welcome Damien
6 Mimnaugh.

7 And Damien, let me just begin with a thank-you
8 to you as well. You have been just a tremendous addition.
9 You're sort of something of a budget superhero arriving at
10 just the right time for what is without question the most
11 consequential Energy Commission budget in our agency's
12 history, and you've been instrumental. And so I want to
13 thank you on behalf of all of us for all your hard work
14 getting through this process. And with that, I'll turn it
15 over to you.

16 MR. MIMNAUGH: Great, thank you. And a good
17 morning, Chair and Commissioners. My name is Damien
18 Mimnaugh, the Chief Financial Officer for the Energy
19 Commission. Today I will present an overview of the budget
20 augmentations that the CEC received in Fiscal Year 2022-23,
21 including both state and federal funding. Next slide,
22 please.

23 The 2022 budget agreement provided a historic
24 amount of new funding to the Energy Commission. The
25 various programs that will receive funding will benefit

1 Californians by improving energy reliability, combating the
2 climate crisis, and supporting California's economy. In
3 combined state and federal funding, the Commission is
4 tracking a total of nearly \$10.5 billion in new funding
5 that will be provided over a period of multiple years.
6 This presentation will provide a brief overview of the new
7 state funds available to the Commission. And then
8 following this presentation Jennifer Martin-Gallardo will
9 present detailed information about the opportunities for
10 new federal funds that Commission staff are tracking. Next
11 slide, please.

12 New state funding for incentive programs includes
13 nearly \$2.3 billion over the upcoming five-year period.
14 This funding includes \$380 million for the Incentives for
15 the Long-Duration Energy Storage Program; \$100 million for
16 the Hydrogen Program; \$100 million for the Industrial Grid
17 Support and Decarbonization Program; \$75 million for the
18 Food Production Investment Program; \$922 million for the
19 Equitable Building Decarbonization Program; \$525 million
20 for the Climate Innovation Program; \$100 million for the
21 Carbon Removal Innovation Program; \$45 million for the
22 Offshore Wind Infrastructure Investment Program; and then
23 \$20 million for the CalSHAPE Ventilation program.

24 And I'll note here that the ZEV infrastructure
25 programs also received additional funding, and I'll be

1 discussing those funds in a later slide. Next slide,
2 please.

3 The 2022 Budget Agreement also provided nearly \$2
4 billion for the Commission to support energy reliability in
5 California. And this amount includes \$700 million for the
6 Distributed Electricity Backup Assets Program; \$295 million
7 for the Demand Side Grid Support Program; and \$1 billion
8 for the Clean Energy Reliability Investment Plan.

9 And I'll note here that the Commission is
10 developing the plan for inclusion in the 2023-24 budget,
11 and the amount that will be proposed to be administered by
12 CEC is not yet determined. Next slide, please.

13 The Budget Agreement also provided a historic
14 investment to transition towards zero emission vehicles.
15 The funding amounts I will discuss here pertain to CEC's
16 funding for ZEV infrastructure. The Air Resources Board
17 also received additional funding for vehicle incentives and
18 support through this Budget Agreement.

19 The 2021 Budget Agreement provided \$1.165 billion
20 to the Commission over three years to help decarbonize
21 California's most polluting sector and improve public
22 health by accelerating the state's transition to zero
23 emission vehicles.

24 The 2022 Budget Agreement provided an additional
25 \$2.4 billion to the Commission over five years, bringing

1 the total amount provided to the Commission to nearly \$3.6
2 billion.

3 Additionally, the CEC is partnering with Caltrans
4 to deploy additional funding from the federal government.
5 That is not reflected in this table.

6 These funds will support Commission activities to
7 expand ZEV infrastructure for light-, medium-, and heavy-
8 duty vehicles, including infrastructure for personal
9 vehicles, transit buses, school buses, drayage and port
10 operations, as well as ZEV manufacturing activities.

11 And these amounts are part of the overall \$10
12 billion amount that has been budgeted from both state and
13 federal sources over a five-year period to support the
14 state's transition to the zero emission vehicles, with
15 funding provided to the Energy Commission, the Air
16 Resources Board, the State Transportation Agency, and the
17 Governor's Office of Business and Economic Development.

18 In addition to these ZEV-specific funds, the 2022
19 Budget Agreement also provided critical funding for ongoing
20 Commission activities. And this funding includes \$7
21 million to improve the Commission's energy modeling
22 activities; \$5 million to support the Commission's analysis
23 of energy customer data; and \$1.5 million for the
24 Commission to develop the strategic plan for offshore wind
25 energy off the coast of California.

1 So this has been an overview of the augmentation
2 of state funds that the Commission received as part of the
3 2022 Budget Agreement. And as part of the next budget
4 item, Jennifer Martin-Gallardo will review federal funding
5 opportunities. And at this point I'll be available for
6 questions if you have any. Thank you.

7 Thank you so much, Damien. Let's just open up to
8 any Commissioner discussion or questions.

9 VICE CHAIR GUNDA: I just want to jump in and
10 just second your kudos to Damien and team. And Damien,
11 thank you so much for your incredible work this year. I
12 know, to not only just fire on all the cylinders, but more
13 (indiscernible) and so thank you for all the work.

14 I think it might be helpful if you could just
15 expand on the billion-dollar reliability investment fund?
16 Just kind of know how it's structured today and the next
17 steps so that given that it could be very integrated across
18 the Commission work and other agencies work, so it'll be
19 helpful for other Commissioners to hear just how exactly we
20 are planning to do that.

21 MR. MIMNAUGH: And this is the \$1 Billion Clean
22 Energy Reliability Plan?

23 VICE CHAIR GUNDA: Yeah, investment plan. Yep.

24 MR. MIMNAUGH: Got you. Yeah, so as part of SB
25 46, the Legislature approved a total of \$1 billion to be

1 appropriated starting in the next fiscal year 23-24 for
2 clean energy and reliability purposes. That plan will be
3 developed and released as part of the 2023-24 budget
4 development process. And so we can expect more public
5 information to be available in the coming year as the
6 budget documents are released.

7 VICE CHAIR GUNDA: Thank you, Damien. Just given
8 that it's a discussion item to fellow colleagues on the
9 dais here, I think one of the core elements that we are
10 going to try and cover in the workshop next Friday was also
11 going to touch on this. So hopefully, some of you or all
12 of you are able to join that.

13 CHAIR HOCHSCHILD: Great.

14 COMMISSIONER VACCARO: I had a quick comment if I
15 may?

16 CHAIR HOCHSCHILD: Yeah, please. Please.

17 COMMISSIONER VACCARO: Yeah. Thank you. So
18 just, Damien, you've heard it from everyone I think before.
19 Hearing it again today how appreciative we are that you
20 joined us and you joined at just the right time.
21 Unprecedented amount of dollars, incredible activity, heavy
22 lift across the agency. But the clarity of communication,
23 and the methodology that you employed, I think really
24 enabled each Commissioner to understand what was happening.

25 So not all of this money touches my Lead

1 Commissioner areas; actually very, very little of it does.
2 But I felt involved in the process and I felt that I was
3 kept aware throughout this. And I can't help myself but to
4 make a huge shout out for the \$45 million. You mentioned
5 it but that is offshore wind-related money. It's important
6 money that's going to relate to ports and waterfront
7 facilities, so very excited about that. I'm excited about
8 all of the money.

9 And again, kudos to you for leading in this space
10 and keeping all of the Commissioners, I think apprised and
11 connected.

12 CHAIR HOCHSCHILD: Really well said. I'd like to
13 associate myself with those comments. Thank you so much,
14 Commissioner.

15 Commissioner Monahan?

16 COMMISSIONER MONAHAN: Yeah Damien, you were
17 amazing. I feel like we need to do in this moment, and you
18 really delivered in terms of just being a resource for
19 questions. You had so much information that the rest of us
20 really didn't have. And you were so generous with helping
21 us through this process.

22 I mean, we got over 30 years of Clean
23 Transportation Program funding in the span of two fiscal
24 years in terms of the amount of money that we usually have
25 to deal with. And you were just great through this whole

1 thing, so thank you.

2 CHAIR HOCHSCHILD: Any other Commissioners
3 wishing to comment? If not, thank you again, Damien.

4 I also just want to say I really agree it's an
5 iterative process, right? And when there are cuts to
6 particular areas, I felt we could just have a really
7 fruitful dialogue. But hey, this is actually the
8 consequence of that and on some of these items we were able
9 to really push back and make sure that we kept the direct
10 carbon capture, the food production improvement, and other
11 things. I think we made the case effectively and are going
12 to bear a lot of fruit.

13 So for every other state in the country the kind
14 of money we're getting here is unimaginable. And I just
15 want to highlight again there's an article that came out
16 actually today, that says we're now on track to pass
17 Germany, okay? So we passed the economy of Brazil, which
18 was number seven, and France, which was number six in 2015.
19 And then 2017, we passed the UK, which was number five.
20 And now it looks like 2022, we'll pass Germany to be the
21 number four economy in the world. Out of 195 countries we
22 will be the fourth largest in the world.

23 And for us to showcase that we can do this and
24 have vibrant economic growth at the same time coexisting,
25 and even in fact in part caused by bold decarbonization, is

48

1 an incredible narrative. It really shakes up the
2 conventional thinking on this stuff. And so these
3 investments in this budget are going to just add incredible
4 momentum to the direction we're going on this.

5 And I couldn't be prouder of this budget and all
6 the work and the team. And I know my colleagues join in
7 thanking you, Damien, and the whole team, for getting this
8 over the finish line, and incredible partnership with the
9 Legislature and Governor's Office to get to this point. So
10 thank you again.

11 Unless there are other questions on Item 2, let's
12 turn now to Item 3, information item on the Infrastructure
13 Investment and Jobs Act. Welcome, Jen Martin-Gallardo.

14 MS. MARTIN-GALLARDO: Good morning Chair, Vice
15 Chair, and Commissioners. My name is Jennifer Martin-
16 Gallardo and I'm here this morning to share an update on
17 the status of the Energy Commission's activities related to
18 both the Infrastructure Investment and Jobs Act and the
19 Inflation Reduction Act.

20 As I last shared with you at the June business
21 meeting, the IIJA was signed into law in November of last
22 year, and it set aside about \$75 billion for programs
23 related to clean energy and power, and \$7.5 billion for
24 electric vehicle charging infrastructure. The CEC has been
25 focusing its efforts on 11 important opportunities, 9 of

1 which we expect to receive funding for. I will share with
2 you the status of those 11 important opportunities. The
3 Inflation Reduction Act, or IRA, is more recent, signed
4 this August. This legislation created a great number of
5 financial incentives related to clean energy, many in the
6 form of tax credits. The CEC will be focusing its efforts
7 around two rebate programs and perhaps one program related
8 to our energy code. Next slide.

9 Californians will receive many benefits from this
10 federal funding. It will further California's efforts to
11 meet clean energy goals, it prioritizes our impacted
12 communities, and it reduces costs to Californians as we
13 move forward to achieve our goals. Next slide.

14 Before I provide an update on each of these
15 opportunities I want to note that each opportunity is
16 designated as either "formula" or "competitive". Formula
17 opportunities means the money comes to California and has
18 been calculated using a specific formula. Once we submit a
19 plan that meets the Act's requirements we will receive
20 those funds.

21 For competitive opportunities, the state will
22 have to submit a competitive application which will be
23 scored against other applications, with no certainty that
24 the funds will be awarded.

25 So this morning I am going to start with our two

1 grid-related opportunities. First, we have the Preventing
2 Outages and Enhancing the Resilience of the Electric Grid.
3 This is a formula opportunity for states, territories and
4 tribes. And California is currently expected to receive
5 \$34 million per year over five years; however, Department
6 of Energy's calculation on that formula may be revised over
7 time.

8 The Energy Commission is leading this opportunity
9 for the state and has been in close collaboration with the
10 CPUC and has also engaged with CAISO. The team has made
11 great progress on this opportunity, and had its first
12 public workshop to share more information about what we are
13 calling the Community Energy Resilience Investment program.
14 We had that workshop in August. Staff has received helpful
15 feedback from stakeholders, and is using all of that
16 information received to create the CEC's application to DOE
17 for these funds. We expect DOE to issue an updated Funding
18 Opportunity Announcement, or FOA, with new information in
19 the near future. So we are holding off on submitting our
20 application until we are able to review the anticipated
21 update. The deadline to submit our application is in
22 March, but we expect to be ready to submit before that
23 deadline. Next slide

24 The second grid-related opportunity is the
25 program Upgrading Our Electric Grid and Ensuring

1 Reliability and Resiliency. This is a competitive
2 opportunity, and the draft application requirements were
3 released in September. We expect the formal release
4 sometime later this year.

5 Based on our preliminary discussions with CPUC
6 and CAISO we plan to focus our application on projects that
7 will advance decarbonization and demonstrate innovative
8 approaches to enhancing grid reliability and resilience in
9 the face of climate change and new extremes. This could
10 include strategic deployment and coordination of long
11 duration energy storage, microgrids, and other technologies
12 for supporting bulk system peak load reduction and local
13 resilience to planned and unplanned outages associated
14 with extreme weather.

15 We would like to target load reduction in high-
16 impact areas and areas with high frequency of public safety
17 power shutoffs or low reliability metrics. Staff is
18 beginning its engagement with utilities, tribes and other
19 stakeholders to identify potential projects that would fit
20 these goals. Next slide.

21 I will next discuss the three opportunities
22 related to electric vehicle infrastructure.

23 First, we have the National Electric Vehicle
24 Infrastructure program. This is another formula funding
25 opportunity, and California is expected to receive \$384

1 million over five years. Caltrans will receive the funds,
2 but will flow the money through the Energy Commission and
3 we will distribute the funding through our solicitation
4 process.

5 The first annual California Deployment Plan was
6 approved by the Federal Highway Administration in
7 September. That agency has also published draft
8 regulations for the NEVI program. The CEC is planning to
9 put out its first solicitation for the NEVI funding
10 opportunity as early as January, depending on the timing of
11 the final federal regulations. Staff anticipates releasing
12 this solicitation about every six months for the next two
13 years. Next slide.

14 The next two EV-related opportunities are for
15 Charging and Fueling Infrastructure: one for Community
16 Charging and the other for Corridor Charging. These are
17 competitive opportunities, and the detailed application
18 requirements have yet to be released. They are expected
19 next spring. The CEC will again be working in coordination
20 with California State Transportation Agency and Caltrans to
21 bring more funding to California. Next slide.

22 Our next four opportunities relate generally to
23 Energy Efficiency, and are being handled by both our
24 Efficiency and Renewable Energy Divisions.

25 First is additional formula funding for the State

1 Energy Program, for which we currently receive annual
2 funding from DOE. We expect to receive an additional \$31
3 million that can be spent over five years. These IIJA
4 funds will be an additional infusion to support Energy
5 Commission operations that are currently supported through
6 our annual SEP program. The formal application due date is
7 in December, but our application is being finalized and
8 should be submitted in the near future. Next slide.

9 Next, we have another formula funding opportunity
10 for an Energy Efficiency Revolving Loan Fund Capitalization
11 Grant Program. We expect to receive a capitalization grant
12 next year for approximately \$6.8 million. We anticipate
13 these funds will be used to fund energy efficiency audits
14 and upgrades based on those audits. We should have more
15 information on this opportunity next spring. Next slide.

16 Next, we have another formula funding opportunity
17 for an Energy Efficiency Conservation Block Grant. We
18 expect to receive a block grant later this year or probably
19 early next year for approximately \$10 million. We
20 anticipate these funds will be used together with another
21 \$6 million dollars in ARRA funding for Tribal and Local
22 Government Planning and Deployment grants. We expect more
23 information on this opportunity later this year. Next
24 slide.

25 Finally, we have a competitive opportunity titled

1 Building Codes Implementation for Efficiency and
2 Resilience. The purpose of this opportunity is to enable
3 sustained, cost-effective implementation of
4 updated building energy codes to save customers money on
5 their energy bills. We anticipate putting forward an
6 application that would request funding for local building
7 department tech support, innovative compliance tools for
8 local building departments, and innovation to compliance
9 modeling. We expect this opportunity will be released at
10 the end of this year.

11 Now those are all of the opportunities that the
12 Energy Commission expects it will directly apply for or
13 receive funding under the IIJA.

14 For the next two opportunities, Hydrogen Hubs and
15 Direct Air Capture Hubs, the Energy Commission does not
16 anticipate directly applying or receiving funds, but will
17 be providing direct support for California-based
18 applications. Next slide.

19 For the state's supported hydrogen hub Go-Biz is
20 leading the effort with support from CEC, ARB, and the
21 CPUC. The goal is for California to establish an
22 environmentally and economically sustainable and expanding
23 renewable hydrogen hub. The team is working with public
24 and private stakeholders, including California's
25 legislature and leading municipalities such as Los Angeles,

1 to submit one state co-funded application.

2 There has been broad outreach by Go-Biz and they
3 have established the ARCHES team, supported in large part
4 by UC and Berkeley Lab, labor, multiple California cities,
5 and industry partners. You can go to the ARCHES website and
6 see the incredible number of entities engaged throughout
7 the state on this effort. The team, led by Tyson Eckerle,
8 is working diligently to get the concept paper ready for
9 submission in November. Next slide.

10 Finally, we have the Direct Air Capture Hub
11 Opportunity. Another competitive opportunity, this one is
12 to fund four regional DAC hubs to demonstrate durable CO2
13 removal.

14 CEC staff has been meeting with relevant
15 stakeholders to get an understanding of the current
16 California activities related to DAC projects and how the
17 CEC can support the development of a DAC hub in California.

18 The team is working on a federal cost share solicitation
19 to provide match funding to this opportunity. We expect
20 this opportunity to be released by DOE in the fourth
21 quarter of this year.

22 Now those are all the IIJA funding opportunities
23 that CEC staff are actively engaged on. Now I'll turn the
24 discussion to our efforts under the Inflation Reduction
25 Act. This legislation is much different than the IIJA,

1 which created many new grant opportunities. While the IRA
2 created a great number of financial incentives related to
3 clean energy, many are in the form of tax credits or other
4 financial mechanisms.

5 The CEC will be focusing its efforts around two
6 rebate programs and perhaps one program related to our
7 energy code. I will note that DOE definitely has their
8 hands full with IIJA implementation, so not much
9 information outside of the legislative language itself is
10 yet available. As this is the first time I'm presenting on
11 the IRA and because there are few available summaries of
12 the rebate programs these slides will be providing more
13 detail than an ideal PowerPoint. I won't speak to the
14 details, but these slides can be a reference for
15 Commissioners and the public. Next slide

16 The HOPE for HOMES Rebate Program is a formula-
17 funded opportunity. The IRA allocated \$4.3 billion
18 nationally, and the estimate for the Energy Commission to
19 receive is approximately \$282 million. CEC will develop a
20 program based on forthcoming DOE guidance that will provide
21 rebates to homeowners and aggregators for whole house
22 energy-saving retrofits based on the percentage of energy
23 savings.

24 The rebates are available to all income levels,
25 but additional funding can be provided to low- and

1 moderate-income individuals who earn less than 80 percent
2 of the area median income and bonuses are given to projects
3 located in disadvantaged communities. Next slide.

4 This slide provides a summary of the rebate
5 amounts which are based on the percentage of energy savings
6 either modeled or measured for both single- and multi-
7 family homes. As I mentioned, there's quite a bit of
8 information on this slide. I won't go through it all, but
9 it is here for reference. Next slide.

10 The High-Efficiency Electric Homes Rebate Program
11 is also a formula funded program. The IRA allocated
12 another \$4.3 billion nationally, and the Energy Commission
13 is expected to receive approximately \$280 million. The
14 program will provide rebates of up to \$14,000 per household
15 for electric appliances and necessary related upgrades.
16 Again, the CEC will need to develop a plan based on
17 forthcoming DOE guidance. The legislation caps the
18 eligible recipients to those below 150 percent of area
19 median income. Next slide

20 This slide provides a summary of the rebate
21 amounts for specific items and upgrades listed in the
22 legislation. Again, this is intended for reference and I
23 won't go through each of these amounts. Next slide

24 The final opportunity our efficiency team is
25 considering is a competitive opportunity related to energy

1 code updates. The IRA allocated \$1 billion between two
2 programs available nationwide to support state and local
3 jurisdictions to update energy codes. Our Efficiency team
4 is doing its preliminary investigation into whether this
5 opportunity is worthwhile for the CEC to work towards.
6 Next slide.

7 That's the summary of our efforts related to
8 federal funding. While I'm helping to coordinate our
9 efforts I want to acknowledge our many excellent teams
10 working to successfully implement our goals for this
11 funding. Our teams are available to provide more detailed
12 briefings upon request. And I'm happy to answer any
13 questions you have.

14 CHAIR HOCHSCHILD: Thank you so much, Jen. That
15 was a terrific overview. And let me add my thanks as well
16 to the whole team that worked on this, really terrific.

17 And I always like to remind folks, in hockey you
18 get credited with an assist when you're two passes away.
19 And I want to again just thank Commissioner Vaccaro, who
20 was the one who recommended you for the role you're now in
21 and how grateful I am to her for that. Because it's just
22 borne so much fruit with all your incredible diligence,
23 Jen. This is a once-in-a-career opportunity to have all
24 these funds available. And just my hope for us as an
25 agency is we absolutely turn over every stone to get every

1 dollar we can for the programs that make sense where we're
2 aligned and can take full advantage of that opportunity.
3 And I just want to express my gratitude again to you and
4 all your colleagues for their diligence.

5 So let's go to Commissioner discussion. I see
6 Commissioner McAllister has a hand up.

7 COMMISSIONER MCALLISTER: Yeah, thanks a lot.
8 And I really just first want to thank you, Jen, for keeping
9 a lot of tabs on that Excel spreadsheet with all these
10 opportunities and keeping it up to date. And it's
11 definitely a Sisyphean task.

12 And I just wanted to point out a couple of
13 things. One, it's great to have all this federal money.
14 But to your point, Chair, in the previous item just the
15 size of our clean energy transition endeavor is actually
16 larger than the participation that we'll get as a state
17 from the federal injections of capital. So there's a great
18 opportunity, really on all of these fronts, to do the
19 programs that we want to do with the state funding we have
20 and sort of the plans that we have and the goals that we
21 have. And then take the federal money and layer it in
22 efficiently into those existing state programs. And so it's
23 not always totally straightforward to do that, because
24 there are different requirements, but just any way we can
25 sort of build the programs that we want in the near term.

60

1 And then when the federal money does come about and come to
2 us, make sure that it's focused on our priorities.

3 So on the energy efficiency front, we're trying
4 to do that by really getting together with other states and
5 advising the Department of Energy on that guidance that Jen
6 referred to. So as they develop, as the Department develops
7 guidance, they're getting, they're making progress on the
8 IIJA front.

9 And as they turn to the IRA front, the states
10 will be encouraging, strongly, the Department to use best
11 practices and try to align their guidance for these
12 programs, these federal programs with state priorities. And
13 so that's going to be an ongoing effort for the next year
14 or so, largely coordinated by NASEO, but together with the
15 folks who really can see that these federal bills, and have
16 been working towards them for many, many years.

17 So the fruition and particularly the HOMES Act is
18 a fruition of 12 years of effort by a whole bunch of folks
19 in Washington and across the country. It's finally come to
20 fruition.

21 The last thing I'll point out is that in some
22 ways, on the efficiency front at least, we pay a penalty
23 for being so efficient already. Because these formula
24 funds, they have a minimum for each state, so there are
25 three buckets here.

1 One is just a minimum allocation for each state.
2 The next is based on the -- well there's an important
3 component of about a third of these of the formula that's
4 based on energy consumption per capita of the state, right?
5 So we're much more efficient than Texas and so we take a
6 pretty big haircut on that piece in terms of the federal
7 allocation. So a pro rata of \$9 billion would be almost a
8 billion dollars. But we think probably that goes to about
9 \$600 million for the HOPE for HOMES and the All-Electric
10 Homes Act, pieces of the IRA.

11 So still really grateful to have the between \$550
12 and \$600 million from that federal injection. But again,
13 we're putting more than that in state funds toward
14 buildings. And so the idea really would be to not increase
15 the overhead, channel all those funds -- as many as
16 possible -- through our existing state programs to get to
17 the neediest communities that we're going to be focused on
18 in the state.

19 So I just wanted to sort of thank Jen again for
20 digging into all these details. And helping coach the
21 various teams across the Commission who are going to be
22 applying and administering these various funds.

23 CHAIR HOCHSCHILD: Thank you.

24 Commissioner Monahan?

25 COMMISSIONER MONAHAN: Jen, I just had a quick

1 question and if you don't have the data, perhaps later you
2 could share it. But I'm curious about the range of funds
3 that we could expect sort of like from the lowest amount
4 from the formula funds, I would say, to the biggest amount
5 that would flow through the Energy Commission? And
6 similarly, sort of what's the range for what California
7 could get writ large? I don't know if we collect that data
8 for the broader California portfolio, but do we have it for
9 the CEC?

10 MS. MARTIN-GALLARDO: As far as like just a grand
11 total of all the opportunities that we're going for? Yes,
12 I think that we have a spreadsheet that I can share that
13 kind of totals up all of the money that we could possibly
14 get, right? We have estimates on the competitive, because
15 we have no idea even what the range of applications are
16 going to be quite yet. Any funding opportunity new notice
17 that has not yet come out right, those whole specifics
18 aren't available. We're just doing some generalizations,
19 maybe 10 percent, of whatever's available could come to
20 California.

21 On the funding, on the formula funding, we do
22 absolutely have those numbers. For like NEVI it's \$384
23 million. For our CERI, for our one-grid related it's
24 definitely, at least for this year, \$34 million, but that
25 could change over time per DOE. So I can give you

1 certainty on formula, less certainty on competitive but we
2 do have it, a total table I can provide.

3 COMMISSIONER MONAHAN: That's great. Yeah, I'd
4 love to see that. I'm guessing the other Commissioners
5 would as well. Thanks, Jen.

6 CHAIR HOCHSCHILD: Let's go to Commissioner
7 Vaccaro.

8 COMMISSIONER VACCARO: So thank you, Jen, for the
9 presentation. For your leadership in this space. And for
10 working so collaboratively with the teams across the
11 agency. I don't have any questions for you, but really
12 appreciate this briefing.

13 But I do wonder, Chair Hochschild, if this is an
14 opportunity, or if we take on it at another meeting, to
15 maybe give Drew Bohan who's also doing an exceptional job
16 leading in this space just an opportunity to tell us how
17 are our recruitment efforts are also aligned with all of
18 this money that we're looking at from the state budget?
19 And how that also will support some of the efforts should
20 we receive the competitive funding right, instead of the
21 non-formula funding. Because we're going to be supporting
22 non-formula funding activities as well.

23 And so I'm just wondering about that because I
24 know there's a good news story there. A lot of effort that
25 Rob Cook and Drew were undertaking and their respective

1 teams in that space as well.

2 CHAIR HOCHSCHILD: That is a great question,
3 Commissioner. I believe all in, the number is 222 new
4 positions that we have to fill. And Drew, I don't know if
5 could you respond to the Commissioner's question on how
6 we're approaching that?

7 MR. BOHAN: Certainly. Yes, 222 was the number
8 we came up with when we looked at what's needed immediately
9 in the next couple of years. It's a very large number. It
10 was in the 140s for this this year. These were kind of
11 rough estimates that we came up with based on workload and
12 based on existing staffing and that sort of thing. And
13 we're going to be revising those as the numbers, as the
14 responsibilities settle in.

15 And we're looking to shift some of the
16 responsibilities between different units. The research
17 stuff is going to continue to go to R&D, the transportation
18 stuff is going to continue to go to FTD. But we've got a
19 whole bunch of other pieces in play that don't neatly fit
20 into one of those two buckets. So we're looking, and where
21 things land has a significant impact on what the resource
22 needs are then to support that kind of work. So I'd say
23 it's still a work in progress.

24 We are beefing up our recruitment team. I just
25 met two weeks ago, two of the newest members. We had zero

1 five years ago, zero people who woke up every day thinking
2 about recruitment. We hired one person who's been
3 excellent, Jessica Gee some of you know. She brought on a
4 partner a couple of years ago, we just added two more, and
5 I think a fifth. And it's starting to pay real dividends
6 through a whole bunch of different tools that they're
7 using. So definitely a very large workload though,
8 increase. And we're moving quickly to try to manage it.

9 CHAIR HOCHSCHILD: Thank you, Drew, great update.
10 Let's go to Vice Chair Gunda.

11 VICE CHAIR GUNDA: Yeah, Chair, thank you.

12 I didn't have any questions. I just wanted to
13 thank Jennifer for the work she's been doing. Thanks, Jen,
14 for all the briefings we all get internally. And as
15 Commissioner Vaccaro and Monahan noted you've been super-
16 collaborative, helping everybody kind of come together on
17 this, so thank you for your work. I look forward to
18 continuing to see where this lands and the potential
19 funding we might get. Thanks.

20 CHAIR HOCHSCHILD: Thank you, Jen. Yeah, well
21 look, I don't mean to rain on the parade because I think
22 our work on this been terrific with your leadership, Jen.
23 But I do want to acknowledge I was really, really
24 disappointed, profoundly disappointed last week by the DOE
25 funding on the Battery Solicitation and Manufacturers

1 Solicitation.

2 While there were a couple California firms that
3 did receive awards they're for activity out of state, so
4 Applied Materials and Sola, and a few others that are doing
5 operations in North Carolina, Nevada, Washington state, we
6 don't have any awards that are going to be supporting in-
7 state manufacturing. And I think it's a huge, missed
8 opportunity. I will be in touch with DOE on this. And I
9 think we got to do better, because obviously we want to
10 partner and leverage our investments with federal
11 investments.

12 And going forward, I think, we've got to realize
13 collectively the value of creating an ecosystem together
14 and the need to partner on that, so very much support
15 directionally where the grants are going. But we have 40
16 million people in this state and we're doing a focus on the
17 in-state manufacturing, so that was really disappointing to
18 see that. I just wanted to say that publicly. There's
19 nothing about that that's a secret from my perspective.
20 It's something we've got to address, so I will be in touch
21 on that. But Jen, thank you for your work on that.

22 And unless there are other comments, I don't
23 think I see any, let me thank you.

24 And we'll turn now to Item 4 on Offshore Wind.

25 Before I ask Alana Sanchez to present I'm

1 wondering, Commissioner Vaccaro, if you could set the stage
2 a little bit and kind of give us a snapshot on offshore
3 wind. And let me just say, again my thanks to you for
4 really an incredible letter that you quarterbacked earlier
5 this summer, kind of bringing stakeholders together to
6 articulate our priorities for how the bid process could
7 best be designed. And it resulted in some, I think,
8 certainly historic and pathbreaking new provisions of this
9 lease sale.

10 And I'm wondering if you could kind of walk us
11 through that success a little bit, give us some framing on
12 the timing and next steps. And then we'll invite Alana to
13 present on the offshore wind delegation.

14 COMMISSIONER VACCARO: Yeah, thank you so much,
15 Chair Hochschild.

16 So first of all I just want to give credit where
17 it's due, which is we had nine state agencies came
18 together, spoke with one voice, and submitted a comment
19 letter to the Bureau of Ocean Energy Management on its
20 proposed sale notice for a lease sale here in California
21 for waters, federal waters offshore California. And in
22 that, in speaking with one voice, we made some
23 recommendations to BOEM that we really did hope that BOEM
24 would listen to. BOEM has been a tremendous partner to the
25 State of California in just advancing offshore wind energy.

68

1 Our focus here of course in California is floating offshore
2 wind.

3 And anyhow the letter, as you say, I think was
4 particularly successful as it related to what are
5 referenced as "bidding credits." So it's going to be what
6 we know for sure because BOEM did put out a final sale
7 notice, making clear that there will be the first-ever
8 offshore wind energy lease sale on December 6th is when
9 that lease sale takes place. And that's huge, that is
10 huge. Because so many people, yourself included, Chair
11 Hochschild, have been working in this offshore wind space
12 for so many years, even predating 2016. And to be where we
13 are today is exciting. And that letter that you referenced
14 was really intended to help shape what that lease sale
15 looks like to uplift and amplify California priorities and
16 values. And so it will be a multifactor auction.

17 And I just want to comment on one thing, which is
18 the element of bidding credits. BOEM came out and said,
19 "Look, would-be lessees can make financial commitments or
20 other commitments, and get a credit with respect to the
21 bids that they put forward." The state agencies really
22 pushed for a high amount percentage of bid credits. And
23 BOEM didn't meet us exactly with what we were asking for,
24 which was 50 percent. But they met us with 30 percent,
25 which as you said is historic. And I think it's going to

1 go a long way towards making this a successful lease. So,
2 again just in terms of dates, December 6th, BOEM lease
3 sale.

4 The California Energy Commission is still working
5 just very hard and fast on meeting the requirements of
6 Assembly Bill 525. So we have two reports that are due to
7 the Legislature at the end of this year. We're working
8 hard and fast on those: offshore wind permitting roadmap,
9 which is really very important. As well as a preliminary
10 analysis of economic benefits of investments into ports and
11 waterfront facilities as well, as looking at some workforce
12 aspects.

13 We have two workshops coming up. One this week
14 that again is very important. It's looking at
15 identification of suitable sea space to meet those historic
16 planning goals for 2030 and 2045 that were established by
17 the Energy Commission in August.

18 We also have a very important workshop coming up
19 on the 31st. We're cohosting with the State Lands
20 Commission, and it's a workshop to talk about the studies
21 and the efforts to date looking at port infrastructure
22 needs and studies in that space. So it's been a busy time,
23 and it will continue to be very busy for offshore wind.

24 So anyhow, I don't want to steal any of Alana's
25 thunder, because I think she's going to touch on some of

1 that in her presentation. I really do appreciate Chair
2 Hochschild the opportunity to like just sort of set that
3 stage a bit.

4 CHAIR HOCHSCHILD: Yeah, super helpful. Thank
5 you.

6 Let's go to Alana Sanchez now.

7 MS. SANCHEZ: Thank you. You could never steal
8 my thunder. No, really, I appreciate your leadership on
9 this. So let me go to my notes here, hold on. Thank you.

10 So good morning, Chair and Commissioners. My
11 name is Alana Sanchez. I'm the International Relations
12 Senior Advisor here at the California Energy Commission. I
13 lead the Commission's international work with a lot of
14 support from my fellow advisors, CEC staff and leadership,
15 as well as our international partners, and our interagency
16 international team. Next slide, please.

17 Offshore wind has been identified as an abundant
18 domestic source of clean energy production for the United
19 States because offshore winds tend to be strong, fast, and
20 uniform. The wind energy developed in the federal ocean
21 waters off California's coast is poised to play an
22 important role in diversifying the state's portfolio of
23 resources. And offshore wind can help California achieve
24 its 100 percent renewable and zero-carbon energy goals as
25 well as the electrification of other sectors such as

1 transportation.

2 Floating and fixed-bottom technologies have been
3 deployed internationally, with the first commercial wind
4 farm built by Denmark in 1991. Since then Europe has
5 established itself as a leader in offshore wind. Our clean
6 energy partners in Europe are working together regionally
7 to expand offshore wind energy in the North Sea region.
8 And we've seen this ramp up recently in global events.

9 As California embarks on a journey to be a global
10 leader in floating offshore wind energy development we
11 appreciate all the opportunities to learn from seasoned
12 experts who are our international partners in fighting
13 climate change. Global cooperation helps California
14 accelerate its clean energy future with up close, firsthand
15 exposure of successful, commercial scale, floating offshore
16 wind projects as it ramps up for deployment of utility
17 scale floating offshore wind.

18 California has focused on floating offshore wind,
19 because the deep waters off of the Pacific outer
20 continental shelf off of California's coasts, have steep
21 drop-offs that will require offshore wind turbines
22 installed on floating platforms to be anchored to the
23 seabed.

24 Information exchanges with our European partners
25 with their experience in offshore wind energy development

1 can enable California leaders to benefit from the lessons
2 learned. As the Energy Commission together with state and
3 federal agency partners, tribal governments, and
4 stakeholders collaborate on the development of a strategic
5 plan for offshore wind energy developments installed off
6 the California coast in federal waters due to the
7 California Natural Resources Agency and the Legislature by
8 June 30th, 2022. And as the state prepares for its first-
9 ever Bureau of Ocean Energy Management offshore wind lease
10 sale on December 6th, 2022. And this will be for areas in
11 federal waters off of our central and northern coasts.

12 Next slide, please.

13 At Chair Hochschild's direction, I recently had
14 the privilege to coordinate a team to develop a fact-
15 finding study toward to help -- to Europe for about 20
16 participants. We had a lot of support from our
17 international partners, without whom this study tour would
18 not have been possible, and a lot of support from a team
19 that helped pull together all aspects of the tour.

20 About half the study tour participants were from
21 California state agencies and the other half included
22 tribal, labor, nonprofit and environmental justice leaders,
23 environmental and clean energy policy advocates. Next
24 slide.

25 While it's true that nearly all the existing

1 offshore wind farms in Europe use fixed-bottom foundations,
2 procurement and supply chain, port infrastructure and
3 development, labor and workforce development, environmental
4 monitoring, regional cooperation among other topics, these
5 also apply to projects using floating technologies. So we
6 were able to learn about many of these topics during our
7 study tour.

8 In Scotland we toured what is currently the
9 world's largest, fully operational floating offshore wind
10 farm. It's about 15 kilometers or about 10 miles off the
11 coast of Aberdeen. Its waters are ranging from about 60 to
12 80 meters deep, it's about 200 to 260 feet. And the
13 Kincardine Offshore Wind Farm is made up of five 9.5
14 megawatt turbines. So this project is capable of powering
15 35,000 homes in Scotland. Next slide.

16 Once we were in Denmark we were joined by four
17 staff from the Danish Energy Agency who joined us for the
18 entirety of our time there and they added a lot of value to
19 our visit. We're very grateful to them for their
20 cooperation. They were our guides and they graciously
21 provided additional information and insight throughout the
22 duration of the visit.

23 And while we were in Denmark we met with
24 government and industry representatives, we toured the Port
25 of Esbjerg and we visited the Horns Rev wind farms in the

1 North Sea. The Port of Esbjerg plays a significant role in
2 Europe regarding offshore wind and the offshore wind
3 industry. It's a massive port and it's involved in the
4 transport, preassembly, shipping, and servicing of offshore
5 wind turbines.

6 The Horns Rev consists of three fixed-bottom
7 farms built in three phases: in 2002, 2009, and 2019. Upon
8 completion in 2002 the Horns Rev I was the first large-
9 scale commercial project in the world with a capacity of
10 160 megawatts. Horns Rev II and Horns Rev III are 209 and
11 407 megawatts. All are in close proximity to each other
12 and they're about 27 miles off the coast.

13 Seeing the Port of Esbjerg, Kincardine in
14 Scotland, and the Horns Rev wind farms gave us all an
15 appreciation for the multifaceted magnitude of scope and
16 commercial scale of offshore wind infrastructure, and also
17 gave us some insight into the need for a highly skilled and
18 trained workforce. Next slide, please.

19 On our last official day in Denmark before
20 traveling back to Copenhagen we had the pleasure of
21 visiting the Siemens Gamesa factory, Stiesdal, Welcon and
22 CIP, which is the Copenhagen Investment Plan, and
23 Energinet, Denmark's Transmission System Operator. At
24 Siemens Gamesa we got a firsthand look inside a nacelle,
25 which is what houses all of the turbines and generating

1 parts. The nacelle sits on top of the tower behind the hub
2 and it's kind of like the engine of the offshore wind
3 turbine.

4 At Stiesdal, Welcon, and CIP we were able to see
5 giant sheets of steel being transformed into turbine
6 towers. And we met with their team to learn more about the
7 floating offshore wind turbine foundations that they're
8 famous for.

9 We received a presentation from the Copenhagen
10 Investment Partners. I misspoke before, excuse me. They
11 are a fund management company that specializes in offering
12 tailor-made investments in global energy infrastructure
13 needs and assets. And during their presentation they
14 highlighted the work they are doing globally. We're
15 waiting for that slide deck and I'd be happy to share it
16 with you once we receive it. Next slide, please.

17 About half the study tour participants traveled
18 back home once we returned to Copenhagen, Denmark at the
19 end of the official study tour while a smaller group of us
20 traveled to Hamburg, Germany for the Wind Energy Hamburg
21 Conference, where Vice Chair Gunda had the opportunity to
22 share the California perspectives. And the timing for that
23 could not have been much better. While Europe has been a
24 leader on offshore wind, all eyes are now on California to
25 be the global leader in floating offshore wind. While Vice

1 Chair Gunda shared the California story in our state's
2 commitment to be bold on floating offshore wind, he was
3 also able to share some of California's values that are at
4 the heart of the work we do. Values like environmental
5 protection, sustainability, conservation, environmental
6 justice, equity, and the will to achieve a clean energy
7 future for all.

8 As we continue to move forward I expect we will
9 continue to look toward the leadership that's gotten us
10 this far, to the leadership of our administration, to the
11 communities, and the stakeholders engaged in this progress
12 of this process, to the staff here at the CEC who are
13 dedicated to this work, and to our interagency and
14 international partners for continued collaboration and
15 partnership.

16 I'd like to thank you, Chair, and the
17 Commissioners for the opportunity to be here to be part of
18 this experience. This concludes my presentation. And I'm
19 available for any questions, but I'd also like to note that
20 we have several, or I expect we have several, of the
21 participants from the study tour online today tuning in who
22 would like to share their reflections and their lessons
23 learned from the tour. And really, they're the experts.

24 And again, thank you to Commissioner Vaccaro for
25 your leadership in this space.

1 CHAIR HOCHSCHILD: This is a nonvoting item. We
2 don't typically take comment on this, but in this case I
3 think it'd be helpful. Who is online who was on the tour?

4 MS. SANCHEZ: Well I think one of my planning
5 partners, Dan Jacobson, may be on the line.

6 CHAIR HOCHSCHILD: Okay. I would welcome -- but
7 maybe before we get to Commissioner discussion just, Dan,
8 are you with us and able to chime in?

9 MS. MURIMI: Chair, this is Dorothy. There is an
10 individual listed as Zoom User, going to allow to speak.
11 Is that Dan Jacobson?

12 MR. JACOBSON: That's me. Thank you.

13 CHAIR HOCHSCHILD: Yeah. Please, Dan, go ahead.

14 MR. JACOBSON: First of all thank you, Alana.
15 Thank you to the Commissioners for letting me have this
16 opportunity. It's been great to join this particular
17 Commission meeting with so much interesting stuff
18 happening, and in particular with offshore wind. Not only
19 about the budget information that you guys went over and
20 about the report from energy innovation, but in particular
21 Alana's report talking about what we learned going over to
22 Europe and seeing what this looks like.

23 And what I wanted to do was just not talk about
24 what we learned, but what I think are six key steps going
25 forward. So what are really six things that you all and

1 that the other state agencies need to look for as we move
2 forward on this? And I'll move through these very quickly
3 because I know that time is short.

4 The first is continued cooperation amongst state
5 agencies. To me from an outsider, this feels like it's
6 going great, keep that up.

7 Second, is an educational exchange program needs
8 to be set up so that we can not only learn from people who
9 are doing this in other parts of the country and other
10 parts of the world, but that California can set the gold
11 standard for what it means to really put in offshore wind.
12 That's environmental monitoring, that's labor programs and
13 protections, and that's community benefits.

14 Third is there's research. One thing that we
15 learned on this tour is there has been a lot of research
16 that's been done, but we're still missing in many, many
17 areas. And we've got to focus on that. And we need to
18 find people who can look at what has been done, what needs
19 to get done and then prioritize what needs to get done in a
20 fashion that allows us to continue to move quickly on
21 offshore winds.

22 Fourth is we need to set up programs with not
23 just the western coastal states, but the western states in
24 particular to help us figure out supply chain issues.

25 Fifth is continuing to work with local

1 communities. I particularly want to give a shout-out to
2 the Commissioners and to Commissioner Vaccaro who I feel
3 like is leading by example here and really getting into
4 Morro Bay and up in Humboldt and meeting with these
5 communities, figuring out what these folks need, and
6 helping to drive that. And I think we've got to continue
7 that.

8 And six, there is so much information that's
9 coming in on offshore wind that I would encourage the CEC
10 either to do this with themselves or if there's another way
11 to figure it out, but we need a website or a portal as a
12 place to house all this information. There's stuff that
13 you guys have that we need. There's stuff from other places
14 that are coming in. But it's really coming in almost too
15 fast. We're drinking from a firehose here in terms of
16 information and we need a website that's just dedicated to
17 this where we can put it all into one place.

18 I'll just close by saying thank you. It was an
19 honor to be able to go and to learn so much on this trip.
20 And thanks again and happy to take any questions.

21 CHAIR HOCHSCHILD: Thank you so much, Dan.

22 Are there other panelists who were on the trip,
23 wishing to just share?

24 MS. MURIMI: Yes, we have Jeff Hunerlach. Your
25 line is unmuted.

1 CHAIR HOCHSCHILD: Okay. Jeff, are you there?

2 MR. HUNERLACH: Yeah. Hello, Commissioners,
3 Chair, Vice Chair. Thank you for the opportunity to speak.
4 Yeah. I just wanted to reiterate everything Dan Jacobson
5 said. Those are some very, very key points.

6 CHAIR HOCHSCHILD: Sorry, Jeff, could you just
7 introduce yourself again?

8 MR. HUNERLACH: Oh. Oh, my apologies. I'm Jeff
9 Hunerlach with the Humboldt Del Norte Building and
10 Construction Trades and the district representative for the
11 Operating Engineers up here in Humboldt County. And I just
12 wanted to share real quick look, I learned so much being a
13 labor guy. I deal with big projects all the time. But
14 this was quite unique to be able to see firsthand the size
15 and the expertise of everything that we witnessed over
16 there.

17 But I just would reiterate everything that Dan
18 said on all of his key points. He couldn't have nailed it
19 any more perfectly than he always does. So that's really
20 all I had. It was a pleasure and it was so nice to be able
21 to witness that firsthand, so and shout-out to you to,
22 Alana. Thank you for your presentation.

23 CHAIR HOCHSCHILD: Thank you. Thank you so much.
24 Anyone else?

25 MS. MURIMI: Yes, we have Jana Ganion.

1 CHAIR HOCHSCHILD: Hey, Jana.

2 MS. MURIMI: And Amisha Patel afterwards.

3 CHAIR HOCHSCHILD: Oh, great. Jana, can you hear
4 us?

5 MS. GANION: Yes, quick soundcheck?

6 CHAIR HOCHSCHILD: Yeah, we can hear you. Good
7 morning.

8 MS. GANION: Great. So listen, Chair, I just
9 want to thank you for being the catalyst for this
10 factfinding mission. It was an honor and a privilege to
11 join it.

12 I want to thank Vice Chair Gunda for our team
13 leadership throughout the journey, and really fostering an
14 ecosystem of deep knowledge exchange, including the space
15 and support for at times difficult and passionate
16 discussions.

17 I want to thank Alana Sanchez, and Dan Jacobson
18 and the related teams for their logistics and overall
19 facilitation and graciousness.

20 And I want to thank Commissioner Vaccaro for her
21 overall leadership on offshore floating wind. The letter
22 from the California agencies, it was crucial. We didn't
23 get everything we wanted from BOEM, but there may be other
24 opportunities there to improve on that.

25 The top-line takeaways I think is that we saw

1 ports and assembly operations that are 15 years ahead of
2 where we will be in in maybe less time. And the takeaway
3 from the port infrastructure was that high and heavy is
4 relatively easy. We know how to do that. But very long
5 items are more difficult. And so heavy operations have
6 specific implications for designing ports, with lowest
7 carbon footprint is a crucial strategy.

8 I think the other main takeaway that we heard was
9 about transmission upgrades. We know that we have to do
10 this in California to port the electrons around from wind
11 energy. And we heard this in all the countries that we
12 visited, that it needs to happen in the ways that we're
13 already thinking about it: big transmission for
14 transporting the wind energy to load centers, and
15 distribution upgrades near the wind farms and along the
16 transmission route to ensure energy equity and reliability
17 benefits for the host regions. This was an important early
18 investment, they kind of "if you build it, they will come"
19 sort of approach. And they're also using regionalism, so
20 bilateral transmission systems that help increase energy
21 reliability for multiple countries at one time.

22 And I think lastly, as Dan said and as Alana
23 alluded to, that environmental research and monitoring,
24 community benefits, these are happening but not maybe to
25 the level that we envision these things happening in

1 California. So we have some work to do there, but that all
2 of it is exciting. And I just really want to thank
3 everybody for the opportunity to be there and see firsthand
4 and bring that knowledge back into the region. Thank you
5 so much.

6 CHAIR HOCHSCHILD: Thank you so much, Jana.
7 And we have Amisha Patel on as well, sounds like?

8 MS. MURIMI: Yes, we do.

9 MS. PATEL: Hi, can everyone hear me?

10 CHAIR HOCHSCHILD: Yeah. Good morning, Amisha.

11 MS. MURIMI: Yes.

12 MS. PATEL: Good morning. And thank-you to you
13 all for allowing me to join. I'm Amisha Patel. I'm Global
14 Head for Public Affairs and Policy at Mainstream Renewable
15 Power. That last month I was very much (indiscernible) to
16 the California Energy Commission for the purpose of this
17 study tour. And just to really echo the experiences that
18 have been shared by others that joined and that they've
19 expressed today.

20 I think during the study tour one of the key end
21 takeaways for us was that we were able to witness the
22 benefits of offshore wind technology, and the differences
23 that this has been making in coastal communities where the
24 technology has been deployed.

25 But we were very candidly able to learn about

1 some of the challenges of deploying this at scale as well.
2 Whilst floating winds current contribution to the total
3 floating, low total offshore wind installations is small,
4 there is no doubt now that globally it's a floating market.
5 And that's where we're going to see a lot of deployment.

6 And Alana mentioned that was Europe, and now I
7 would add Asia, races ahead on fixed offshore wind.
8 California is recognized globally for the potential to
9 become a leader here. So we were able to learn a lot from
10 the hubs that we visited. That governance acted as a key
11 catalyst for kickstarting some of the successful
12 deployments, policy and regulatory action, which support
13 ports infrastructure, supply chain development, grid
14 access, and a route to markets as well. And a cohesive and
15 collaborative approach is a key ingredient to success and
16 we had that message iterated throughout our journey.

17 So whilst recognizing the significant challenge
18 that this presents against the time that we have, I think
19 as a group we were really able to come together to start
20 thinking about how to approach this and the potential
21 solutions to make this a reality and putting our learnings
22 to use as well. So very much looking forward to continued
23 engagement in California on ground and across the borders.
24 Thank you very much.

25 CHAIR HOCHSCHILD: Thank you so much, Amisha.

1 Dorothy is that everyone?

2 MS. MURIMI: Yes Chair, that is everyone.

3 CHAIR HOCHSCHILD: Okay. Well, let me just
4 extend my gratitude again to all the stakeholders who were
5 able to join that. I'm really proud of the diversity of
6 the trip having tribes and labor, environmental justice,
7 environmental organizations, and this incredible diversity
8 of state agencies, It's essential.

9 And I want to highlight something Commissioner
10 Vaccaro said, which is when we did the letter that was a
11 collective effort, and that I believe went out in August,
12 unless I'm mistaken. And when we can speak with one voice,
13 one clear, loud voice on California priorities for this
14 upcoming lease sale, we're in a position to be successful.
15 And yeah, we didn't get everything we asked for, but we got
16 a lot. And those big credits are the highest they've ever
17 been for any lease sale ever. And so that's very much to
18 the benefit of California and our priorities as we go
19 forward.

20 And secondly, we are often in the position of
21 being the leader in industries like electric vehicles and
22 utility skills, solar and wind, (indiscernible) energy
23 storage and so on, energy efficiency. We're not a leader
24 yet in offshore wind, we're behind. And we have real
25 important material things we can learn from the countries

1 that are in the lead. And it's really important these
2 exchanges go both ways. And we as a state don't want to
3 reinvent the wheel.

4 And there's a lot of wisdom and learning to be
5 found in visiting these places. And I think this is one of
6 those things where there's just incredible value to going
7 and seeing it in person. So I just want to thank everyone
8 for making the time who was able to join and this is a
9 relationship we're going to have and we're going to
10 continue to build that relationship.

11 And I think about what it's analogous to, I mean
12 I think about building the Golden Gate Bridge. You know,
13 something like that was just a very complicated engineering
14 feat that a lot of people questioned whether it could be
15 done. And then once it's built it's just normal. People
16 use it and it provides these benefits and we're grateful
17 for it, but you don't think twice. I think that's how
18 offshore wind will be. We will get it done. It will be
19 hard. We want to get it done quickly, obviously, and
20 there's a lot to work through. But it's going to be a feat
21 of engineering and environmental progress I think we can
22 all be proud of.

23 So thank you again to all. And let's just turn
24 it to Commission discussion, maybe starting with Vice Chair
25 Gunda. Go ahead.

1 VICE CHAIR GUNDA: Yeah. Thank you, Chair. Just
2 it was so nice to hear from Alana just summarizing the
3 entirety of that. That was just fabulous. Thanks, Alana,
4 for doing that. And also Amisha, Jana, Jeff and Dan who
5 were able to provide some remarks on their experiences.

6 So I want to just begin by thanking you Chair and
7 Commissioner Vaccaro, who's the Lead on the offshore wind,
8 for giving me the opportunity to lead the trip in your
9 absence. So thank you so much. That was so meaningful for
10 me in terms of learning from the perspective of SB 100, and
11 equity, and how do we take the lessons from the tour into
12 that?

13 Chair, as Jana already mentioned, she said you're
14 the catalyst for this. I really want to thank you for your
15 vision on the importance of these kinds of study tours.
16 And I think one is definitely learning by experience. But
17 also, as you mentioned, the composition of the group had a
18 very diverse perspectives, so it was an incredible
19 opportunity to really bond and learn from each other in the
20 trip.

21 Also, I just wanted to say Commissioner Vaccaro,
22 from your office standpoint I know you were not able to
23 make it, but it selfishly really worked out for me in terms
24 of these relationships for a very long time and just the
25 sheer privilege of learning on this tour.

1 I want to acknowledge a few people on the
2 delegation, Alana, who already presented, a number of
3 people really helped organize this. So, Alana, thank you
4 for your work on it and just being a champion and an
5 ambassador for us along the trip. Amisha Patel, who just
6 spoke. Amisha, thank you so much for -- (Audio cuts out.)

7 CHAIR HOCHSCHILD: Uh-oh, I think we -- you froze
8 there Vice Chair. Everybody else I think --

9 MS. MURIMI: This is Dorothy. I'll try to
10 connect with the Vice Chair again.

11 CHAIR HOCHSCHILD: Okay, yeah, tell him if he
12 comes back on maybe to come back on without video. But
13 maybe while we're waiting for him other Commissioner --
14 Commission Vaccaro, any feedback you wanted to offer or
15 comments, having heard all that?

16 COMMISSION VACCARO: Yeah, thank you.

17 First of all, I just want to acknowledge Alana.
18 Thank you for that. It's just the energy you bring, the
19 perspective, your excitement, and the fact that you really
20 gained something from that trip, it came out. And so thank
21 you.

22 And Chair, it's so important that you were able
23 to facilitate and make this happen.

24 So many takeaways, even though I wasn't there.
25 And I don't feel as if I was there, I feel as if I've had

1 the benefit though of hearing a lot of important,
2 insightful communications. And I'm glad that the Vice
3 Chair was able to go because even though, Chair Hochschild,
4 you and I partner in this offshore wind work and we serve
5 as the leads it's important for our fellow Commissioners to
6 get a sense of what we're working on. To kind of
7 understand it in a way as we do. I think that helps with
8 informed decision making. And it also helps deepen
9 relationships with key stakeholders, partners, it develops
10 new relationships. And from what I've heard, from all
11 accounts, that's what the vice Chair was able to do in his
12 role on this trip as well as learn.

13 And so I'm sorry that I wasn't able to make it,
14 but so grateful that others were and that I'm able to
15 benefit from these perspectives that have been shared.

16 So Amisha, Jana, Jeff, Dan, thank you for that
17 impact, the impactful statements. I'm listening, I have
18 notes that I took, and I'll go back and look at the
19 transcript as well and see how we can build those lessons
20 learned into the technical staff work and our leadership.
21 Thank you.

22 CHAIR HOCHSCHILD: Great, thank you.

23 Any other comments from Commissioner Monahan or
24 Commissioner McAllister on this item? If not, did the Vice
25 Chair punch back in or is he still maybe had an Internet

1 outage?

2 MS. MURIMI: Yes, a few more moments. Dealing
3 with technical difficulties still.

4 CHAIR HOCHSCHILD: Okay, well that's par for the
5 course.

6 And I will say again, Commissioner Vaccaro and I
7 are noodling on a Implementation Symposium on offshore
8 wind. I think one of the things that we are clear about is
9 it doesn't make sense to do that until we have publicly
10 announced and BOEM has publicly announced the winners of
11 the lease sale, which may not now happen until the end of
12 Q3.

13 The lease sale will be conducted, but there's a
14 provision. They have to concurrently do an oil and gas
15 lease, so we don't know exactly when that will all
16 conclude. But I think once that does conclude we'll be in
17 discussions with stakeholders about what that looks like
18 and how we make that best aligned with our priorities.
19 There's obviously a lot of issues to work through,
20 including transmission and procurement and manufacturing
21 and port upgrades and all the things that are attendant to
22 a successful offshore wind implementation.

23 I tell you what, the Vice Chair is now back on.
24 Are you back on now? Oh, great. Yeah, sir, please
25 continue with your comments. Yep.

1 VICE CHAIR GUNDA: Yeah, I don't know where I got
2 cut off. But I just want to start with Amisha, I think
3 that's where it stopped.

4 CHAIR HOCHSCHILD: Yes. Okay.

5 VICE CHAIR GUNDA: So just I want to say thanks
6 to Amisha for all the wonderful work and just kind of
7 helping in making it a very smooth collaborative process
8 with the introductions to all the people and getting it
9 moving. I also want to acknowledge Rekha Rao from Climate
10 Imperative, Eddie from Brightline Defense, and Dan
11 Jacobson, obviously who spoke, for really organizing it.

12 And in terms of the participants we had a number
13 of state agencies as well as the labor, Jeff who spoke
14 today, but also Jana, the tribes. And also it was a
15 wonderful experience in bringing all the perspectives
16 together.

17 So just a couple of notes that have already been
18 stated, but just mentioned it was really clear the
19 magnitude of what we are embarking on, just the sheer
20 magnitude of developing this industry so quickly in
21 California it seemed -- as Chair you keep mentioning the
22 great implementation, that really hit. It is a really big
23 implementation. Just the investments that are needed for
24 this incredible scale. The overarching strategy, whether
25 it be workforce, port strategy, transmission planning and

1 permitting, just seemed extremely important to make sure we
2 move forward in a really fast manner here.

3 One of the things that I specifically took away
4 was the importance of early development of offshore wind
5 projects, how much it's served Europe in terms of their
6 learnings. Similarly, given the offshore wind technology is
7 pretty new. And then we are set up to do that in the coast
8 of California, how important it is for some early projects
9 so that we can learn and refine as needed. And I think
10 it'll be really important.

11 As you can also imagine, given the Europe
12 strategy, in a way they are -- especially with the invasion
13 of Ukraine and the required focus on EU -- have on energy
14 security. At virtually every visit our presentation the
15 topic of hydrogen and Power Flex was brought up. Our
16 friends in Europe appear to be very serious about exploring
17 alternatives to fossil gas, specifically thinking about how
18 to use offshore wind electricity to produce gaseous fuels.

19 In relation to that they talked about energy
20 islands a lot. How can you set up an island in the middle
21 of the ocean to use the power there to then develop
22 byproducts? But it all seemed very important to think
23 through as we develop our industry.

24 Again, selfishly, for me as I learned, as I had
25 this experience learning from the perspective of SB 100 and

1 the next report, it was an incredible opportunity for
2 personal relationships. And As Jana mentioned, we had some
3 incredible debates and conversations along the way in terms
4 of reliability, and the clean energy transition. And I
5 feel like this just provided me an opportunity to just
6 develop those relationships for the work I specifically do
7 at CEC. And since then we've already had a bunch of
8 meetings working on the elements that I focus on.

9 Finally, I just want to thank Ben Finkelor the
10 Chief of Staff, my chief of staff, who also went on the
11 trip and his incredible work on keeping me up-to-date, and
12 then also just developing the necessary relationships for
13 our focus on equity, SB 100, and such.

14 So thank you again, Chair, for the opportunity
15 for me to go. And Commissioner Vaccaro thank you for
16 allowing me to go on this and helping me lead this trip.
17 It was a great pleasure and privilege for me. Thank you.

18 CHAIR HOCHSCHILD: Thank you so much.

19 And I guess I would just close by saying I have
20 sort of two hopes. One is that we continue in a
21 collaborative spirit, not just between agencies and
22 stakeholders here in California, but with other countries.
23 And that secondly, we have a spirit of curiosity, because
24 there's so much we can learn.

25 Denmark has been doing offshore wind for over 30

1 years, they are decommissioning and repowering turbines
2 already. They're on the second generation of turbines. So
3 we have a lot to learn from these guys. And I really want
4 to see us take full advantage of that knowledge.

5 And I just will share again, so I did this trip
6 last November. And I was just blown away by the knowledge
7 base and also the generosity of spirit that I felt in
8 Europe, helping us learn some of the lessons that are to be
9 learned there. And really, my gratitude to all of the
10 different parties that hosted different parts of this
11 delegation.

12 So thank you to all again. I really appreciate
13 and look forward to working together to make offshore wind
14 happen here in California.

15 So with that, we will turn now to Item 5, Lead
16 Commissioner Reports. Let's see, Commissioner Vaccaro
17 would you be willing to start us off on that?

18 COMMISSIONER VACCARO: Thank you, I'll keep it
19 brief. I've made all of my offshore wind updates already,
20 so I'll just focus on two things.

21 The first of which is, so again pleased that Mona
22 Badie is stepping up to serve as the Public Advisor, but
23 wanted to make sure to recognize Noemi Gallardo. And I
24 think the best way for me to sum up my thoughts and
25 feelings about Noemi is that I think her work and her

1 leadership have been transformative for this agency. We've
2 really had a long-standing commitment to equity and to just
3 transition. But I believe Noemi brought something
4 different, brought a different way of bringing us together
5 as an agency, and really changed the way that we did
6 outreach and connected meaningfully with communities. And
7 so I just really want to recognize and appreciate the
8 difference that she has made, I think, to the agency and to
9 Californians.

10 And in that regard, I just wanted to mention that
11 the Lithium Valley Commission, which is also known as the
12 Blue Ribbon Commission on Lithium Extraction in California
13 has centered community and tribal voices. In a lot of its
14 work Noemi has been helpful in that respect. And their
15 draft report has been out for public review. There have
16 been community and tribal workshops around the report. And
17 the public comment period closes this week on that report.

18 And there will be a Lithium Valley Commission
19 meeting on the 31st to continue refinement on the draft
20 report, which is expected to be submitted to the
21 Legislature by December 1st. So thank you Noemi and thank
22 you everyone who's working to support the Lithium Valley
23 Commission.

24 CHAIR HOCHSCHILD: Really well said,
25 Commissioner. Thank you.

1 How about Commissioner Monahan, would you be
2 willing to go next?

3 COMMISSIONER MONAHAN: Well, I just want to start
4 by saying quarterly ZEV sales are out, so a little bright
5 spot in our day which is that sales are all 17 percent of
6 the new vehicle market. That's the highest ever, an
7 increase from last quarter. And what we're seeing in some
8 counties like the one, actually, Chair Hochschild and I
9 live in that ZEV sales are reaching 30 percent of the new
10 vehicle market. And so that's spectacular. And that's
11 despite all the supply chain issues. And I'm sure this
12 very high price of gasoline is factoring into some of that
13 consumer interest in electric vehicles. But we really have
14 made remarkable progress in a short number of years.

15 And we're at 1.3 million zero emission vehicles
16 sold. The target set by Governor Brown was to have 1.5
17 million zero emission vehicles on the road by 2025. And
18 whether you count it as new vehicle sales or vehicles on
19 the road, we should handily be able to make that target
20 ahead of schedule as long as ZEV sales -- even if they just
21 stayed the same as they are today -- we would reach that
22 target probably next year.

23 And the Fuels and Transportation Division
24 released the Clean Transportation Program Investment Plan
25 Draft. That includes the \$2 billion from the \$2.4 billion

1 from the General Fund. And so that's on the streets.

2 We're doing outreach with Noemi Gallardo's help
3 with the DACAG and she's convened an EJ roundtable that
4 we've shared the draft and we're encouraging feedback.
5 We'd like to bring it to the Commission for a business
6 meeting by the end of this calendar year. So the team,
7 especially Charles Smith and Patrick Brecht have been
8 really working hard to do this. And it is kind of
9 breathtaking to go from \$100 million to a billion last year
10 to \$2.2-plus billion this year. The team has really, I
11 think, done a great job of kind of stepping up and being
12 able to build very robust plans. So we'll be making
13 adjustments based on feedback. And then as I said,
14 hopefully bring it to you by the end of this calendar year.

15 And in that same context I just want to
16 acknowledge all the grantmaking that is happening in the
17 Fuels and Transportation Division, also ERDD around vehicle
18 grid integration. I mean, it's just kind of breathtaking
19 how many grants are being moved out swiftly. You know,
20 looking at both sort of rapid deployment with big block
21 grants, but also all these what I would call "specialty
22 grants" around transportation network companies,
23 multifamily dwellings, corridor charging with the federal
24 funds, zero emission vehicles manufacturing, which will
25 hopefully be brought to you soon.

1 So it's just really an impressive array of
2 grants. And they're staffing up, everybody's staffing up,
3 but it's just really been remarkable to see the progress.

4 And together with Commissioner McAllister, we're
5 working on both the new funding for hydrogen and for
6 industrial decarbonization that is grid friendly. And so
7 we'll need to, especially for that industrial
8 decarbonization piece, coordinate with Vice Chair Gunda's
9 office around the grid reliability piece, so I'm hoping we
10 can have some joint workshops with Vice Chair Gunda so he
11 can be part of that crafting of these new grants.

12 And ERDD has really been helpful thinking through
13 all the new opportunities. And I'm really excited,
14 hopefully, to bring something good forward with
15 Commissioner McAllister this year.

16 I also want to acknowledge -- I just got back
17 from a board meeting actually. I'm on the Institute for
18 Transportation Studies at UC Davis, their board. And it
19 includes the other UCs that have transportation programs
20 like Riverside and UCLA.

21 And one of the things is that it also includes
22 all the major, many major vehicle manufacturers. One of
23 the things that really came through in this meeting, which
24 relates to our work was just the attention on building out
25 ZEV infrastructure for trucks. And this intersects with

1 what CARB is doing on advanced clean trucks and advanced
2 clean fleets, their regulations.

3 But just the sense that the urgency is on the
4 infrastructure side, and it really did make me feel like we
5 at the CEC are at the center of this. And also that there
6 are barriers. There are barriers to swift deployment of
7 infrastructure. There's supply chain barriers, but there's
8 also just interconnection with utilities and speeding that
9 up. And so it kind of lit a fire.

10 And Chair, I hope you and I could follow up on
11 just more thinking about how we can work collaboratively
12 with the CPUC, and maybe GO-Biz and CARB. Just on how do
13 we overcome barriers to deploying that infrastructure
14 swiftly? And I think it is a challenge and an opportunity
15 for us.

16 And then lastly, I just wanted to say there's
17 been a number of international works with Baden-
18 Wurttemberg, which is the biggest auto-producing, vehicle-
19 producing region of Germany that we have an MOU with. And
20 they're very interested in working together on
21 electrification and the role of hydrogen.

22 Also, China, I just participated in a fuel cell
23 technology meeting with China. And just trying to think
24 through how do we make sure that we have strategies that
25 scale globally, so what we do in California fits with what

1 other countries -- and especially I look to China in terms
2 of the biggest vehicle market in the world -- where we can
3 have a similar strategy that will help build scale and
4 reduce prices.

5 So that's it for my summary. And I also want to
6 heap on praise for our former Public Advisor Noemi
7 Gallardo. You really did raise the bar for all of us. And
8 her ability to just, I've got to say, I've never met
9 somebody who could facilitate a group as well as Noemi and
10 make everybody feel heard. I just feel like we should all
11 take a training on community engagement from her because
12 she really is deft. And she brought not just her big
13 heart, but also smarts and just really emotional
14 intelligence to this job.

15 And I know Mona is going to follow in her
16 footsteps. Mona is awesome in her own right. But I just
17 want to acknowledge our tremendous former Public Advisor.

18 CHAIR HOCHSCHILD: Well said, well said. Let's
19 go to vice Chair Gunda.

20 VICE CHAIR GUNDA: Yeah, thank you Chair. I have
21 a few things. First I wanted to start with SB 100. We,
22 the interagency team including CPUC, CARB and CEC, have
23 started informal scoping roundtables with the various
24 stakeholders. We're thinking of this as a scoping of the
25 scoping of SB 100, really kind of get some early start on

101

1 what some of the policy questions we should be thinking.
2 And really kind of think about what the vision of the SB
3 100 report should be as we go into 2025. The next report
4 will be due in 2025, which will be very pivotal in the
5 transition of our system. As Commissioner Monahan
6 mentioned, we have our ZEV goals. We have goals around
7 retirements. All sorts of stuff, so I think it will be
8 just a very important milestone for the state. And landing
9 the report well would be really helpful.

10 We are on track to formally kick off the process
11 for the SB 100 report early next year. And hopefully, we
12 improve on our kind of robust participation that we saw
13 last time, but really improve our community engagement.
14 And I just want to thank Noemi helping us get on a good
15 footing in the first report, but really enhancing that this
16 time around.

17 As I've said before, the SB 100 report will be
18 critical on a variety of issues. But I think one of the
19 things I continue to learn in this job and keep hearing is
20 some of the tradeoffs of different pathways, whether it be
21 cost -- one of the things that I learned on the offshore
22 wind trip was really getting sensitized to the land and
23 coastal protection. Similarly, we have land use issues, or
24 our equity implementation. So how do we think about
25 developing scenarios that look at all these tradeoffs and

1 really learn about how best to move forward in the most
2 reliable, affordable, and equitable manner in the future?
3 So that's on the SB 100.

4 Just on the reliability there's continuing work
5 going on. As I mentioned earlier, we have a workshop
6 coming up next --- sorry, I'm just kind of blanking on it.
7 Yeah, it's this Friday -- sorry, I shouldn't have said next
8 Friday -- Friday, the 28th. It's the kickoff of the
9 workshops, more broadly, under the requirements under 846
10 that we got. But also 205 and 209, a bunch of bills
11 passed. All of them are kind of intersecting, so this is a
12 way to one, promote situation awareness of exactly what
13 we're asked to do. But how we can bring them to the extent
14 possible into a kind of a comprehensive, coordinated
15 fashion to make sure we check off on all the deliverables
16 and integrate them into broader work.

17 Again, I want to just make sure I thank Deana for
18 her work, Deana Carrillo. She's now working on launching
19 the Distributed Electricity Backup Assets program pretty
20 soon here. We call it DEBA. That's going to be big for
21 our agency. It will be cost-cutting. There are
22 opportunities for us to fund other programs through that
23 and leverage the money, so let's kind of work through that
24 in a public setting.

25 Similarly, on the demand side grid support, we've

1 done some early work on that. But there's a lot of
2 opportunity. Commissioner McAllister, I'm thinking about
3 you on how to integrate some of the funding from there into
4 ideas you have. So hopefully we can have a discussion
5 publicly on how best to do this.

6 I also again thank Noemi for her extraordinary
7 work. Actually, she's family. And I look forward to her
8 transitioning and then working with the Chair. But we'll
9 continue to lean on her, on her wisdom and smarts, and
10 moving forward.

11 And Mona, congratulations again for the work that
12 you're going to do and you've already done.

13 I want to close on just an important thing, and
14 important day for a lot of people from Indian heritage.
15 It's Diwali today. It's the Festival of Lights. It's a
16 very important holiday in India. And it's really about
17 welcoming the light into your house, getting rid of your
18 insecurities, fears, and welcoming goodness into your own
19 personal life, your family and community. It's something
20 very dear to a lot of Indians. And I just wanted to take
21 this opportunity to say happy Diwali to everybody.

22 And I also wanted to take this moment to share
23 with you all how I'm trying to bring light into my life.
24 And I wanted to call on Patty. So much of bringing light
25 into your life is getting rid of your own fears and

1 insecurities, annoyances. And without going too much I
2 just want to say, "Thank you, Patty, for our recent
3 interaction of you helping me see the light." I just want
4 to say the four of you, I absolutely love you four. And
5 I'm thinking of Drew and many of the colleagues at CEC,
6 it's been a wonderful family. It's been the work we do
7 here is meaningful. And it sets the way for me and shows
8 the light. So thank you all and happy, happy Diwali.

9 CHAIR HOCHSCHILD: Thank you so much. That was
10 wonderful. And we could all do well to invite more light
11 into our lives. Thank you for bringing that into today's
12 meeting.

13 We'll turn now to Commissioner McAllister.

14 COMMISSIONER MCALLISTER: Well gosh, I have to
15 comment on that last wrap-up comment by Vice Chair Gunda.
16 That was beautiful.

17 And actually I was going to start off, and I'll
18 just link it to, with thanking Noemi for all of her service
19 as Public Advisor. And I think part of the extraordinary
20 job that you did Noemi, have done, and will continue to do
21 from your new perch it has to do with helping people get
22 over their preconceptions. And I think doing that in a
23 caring and loving way, and that facilitation that
24 Commissioner Monahan referred to, I think it's just a skill
25 that requires an amazing amount of emotional maturity

1 because it's pulling in people at all different levels.
2 And it's respecting people where they are kind of no matter
3 what. And I think creating a space that people really do
4 feel comfortable coming together and saying what's on their
5 mind and getting that in to the public realm or getting
6 that on the table to facilitate a discussion with others
7 that may or may not agree with them is something that
8 helps. It makes our process that much more effective.

9 I mean, we're helping people participate in a
10 real way. And getting this incredible diversity of input
11 that we have across our state, just language, of course,
12 and cultural and just background. We've talked a lot about
13 that this meeting. And I think it's entirely appropriate.
14 I think our process is stronger, our outcomes are more
15 robust for that kind of involvement in just bringing
16 everyone in. And letting folks reflect themselves in the
17 process and actually learn from that process not only gets
18 a better outcome, but it makes people better along the way.
19 And I just think that's a incredibly powerful approach.

20 And the Commission is indebted to you. And I
21 think it's just long-term better off. It's helping our
22 exercise the muscles that we really need to be successful
23 long-term. So thank you, Noemi. And I'm really looking
24 forward to working with Mona on this front as well, and
25 continue to work with you, Noemi, along the way.

1 So I guess I have not given an update because I
2 missed the previous meeting. We didn't do it last meeting,
3 and so now I have sort of a backlog of three meetings. So
4 you'll all be kind of comforted that I'm not going to go
5 through everything I've done in the last three months. But
6 I did want to just highlight a couple things.

7 I did make a 10-day trip to Australia recently,
8 and I just wanted to kind of report high level on that.
9 Super-interesting set of conditions there. They are
10 parallel or very similar in some ways to California, but
11 different in other ways. And I'll just kind of give a
12 high-level overview here.

13 But their market structure is a little bit
14 different there. They have a market regulator, which sort
15 of is like our CAISO. They have a market -- or I'm sorry,
16 market operator that's sort of like our CAISO -- an energy
17 regulator that writes the rules under which the market
18 operator and all the market participants function.

19 And then they have a retailer and a poles-and-
20 wires layer. So the retailer, it's not integrated with the
21 poles-and-wires company. So you have the poles-and-wires
22 infrastructure owners and operators, which are a monopoly
23 in each area. But then you have the retailers, which are
24 just consumer choice. So you have lots of retailers
25 operating over the same poles and wires. And so that's an

1 additional layer. It's sort of maybe there's an analogue
2 with the CCAs here, but you have essentially four kinds of
3 layers in the energy and the electricity market.

4 And so I met with representatives from all of
5 those actors at the federal level. And then in New South
6 Wales, and Victoria as well, made a day trip to Canberra to
7 talk with the federal folks.

8 Part of the background here, although I've been
9 planning this trip for a while, the Australian Energy
10 Minister Bowen met with Governor Newsom at Clean Energy
11 Week in New York a month, month-and-a-half or so ago. And
12 they agreed in principle that they wanted to try to work
13 together and find ways to collaborate. And so that was
14 sort of the undercurrent of the visit.

15 And Australia is facing many of the same
16 challenges we are. They're living climate change. They
17 have the long-term droughts, just an incredible fire risk
18 every year that they need to deal with and harden their
19 systems. A relatively weakly interconnected large-area
20 grid right, that's even vastly more urbanized than we are,
21 so long distances between large populations. And so a lot
22 of the focus there has been on renewables and building
23 transmission, which is appropriate.

24 They have rooftop solar penetration there is far
25 greater than it is in California. We're the leader here

1 and have lots of rooftop solar, but there they have -- some
2 areas they have more than 50 percent penetration of rooftop
3 solar. And they have moments where they're having voltage
4 excursions, high-voltage excursions due to just they don't
5 have anywhere else to curtail. They have to reach behind
6 the meters or curtail some of the rooftop solar, because
7 they have too much solar being produced behind the meter
8 for large chunks of like western Australia and some other
9 areas.

10 So and their solar rooftop installations are
11 incredibly inexpensive. Like less than \$1.00 U.S.; like
12 about .70 a \$1.00 U.S. per watt, which is about a third of
13 the cost that we have here typically. It's up to \$2.5,
14 \$3.00 here, so different in that way.

15 I think where we can learn from each other is in
16 a number of areas. I think they on the distributed energy
17 side of things we would do well to kind of look at what
18 they're doing. I'm not sure we would get to that low price
19 they do. They basically don't permit and they let any
20 electrician install solar, so I'm not sure we would get
21 there. But I think that we can learn from their market
22 development there.

23 They are also looking at efficiency and
24 electrification of buildings. And I think we have a lot to
25 teach them on that front. Load flexibility, they're super-

1 excited, they're actually doing some things already on load
2 flexibility, but super-excited to work with us on that,
3 particularly given the load management standards. And data
4 sector governance, energy market reform, those are topics
5 that certainly we can compare notes on and I think learn
6 from one another on.

7 One final takeaway, lots of resilience
8 challenges, as I said largely from climate change, long-
9 term planning and sort of where to optimize investments.

10 I think where it became even more clear to me
11 than it's been in the past on how unique California is in
12 building in energy efficiency and the demand side from the
13 beginning into our planning exercises. Our forecast just
14 takes the gross forecast and then it has all these
15 modifiers on it. And we end up with a managed forecast
16 that integrally includes our buildings and appliances, our
17 rooftop solar, and our transportation, whether they're plus
18 or minus on the forecast, and we end up with a managed
19 forecast. And so our long-term trajectory for energy
20 consumption forms part of the basis of our long-term
21 planning.

22 And most places including Australia just do not
23 have that concept. The forecast in Australia is done by
24 our equivalent of the CAISO and so of course they focus on
25 the bulk power market. And of course they end up focusing

1 on large transmission investments. And so that's where
2 investment tends to flow.

3 The building stock in Australia is quite
4 inefficient. You know, many structures that are very
5 leaky, almost no insulation, from decades ago. And there
6 really haven't been functional building standards there.
7 So they could actually, if they can find a path to be more
8 integrated in their planning and channel resources to the
9 demand side. They could really do a lot of good -- like we
10 talk about every meeting -- in terms of just a better
11 building stock and improved outcomes on the health front,
12 and just lowering the overall demand. So that they're
13 planning across the whole power system gets that much
14 easier.

15 So I think a number of key topics to potentially
16 collaborate on. So we're going to report back to the
17 Governor's Office and see if there's interest in having an
18 MOU and moving that conversation forward.

19 The last thing I wanted to do is just give folks
20 or well really recognize the California Building Standards
21 Commission and the State Architect. They've been working
22 on a proposal to incorporate embodied carbon into the
23 California Building Code and CALGreen. And so that's
24 something that we talked about quite a bit in the last
25 IEPR, had some workshops about that, and wrote it up as

1 sort of a path forward kind of idea.

2 And they, just the State Architect and the
3 Building Standards Commission, Ida Clair and Mia Marvelli,
4 have just taken it and run with it. And are going to make
5 a proposal to have some requirements, and then a couple of
6 voluntary tiers within CALGreen that really highlight this
7 area of decreasing the embodied carbon in building
8 materials and operations.

9 So that's a sea change in the Building Code to
10 have that explicitly in there and builds on some of the
11 work that DGS has done in Buy Clean California. But it's
12 really great to see that progress and they're making
13 incredibly rapid progress and even doing an intermediate
14 code cycle here. So the first effort will be actually in
15 the code, effective in the middle of 2024, so that's
16 lightning speed by code standards.

17 So just kudos to our sister agencies that we work
18 with on the building code for doing something that's really
19 important.

20 So that's it for me at this time. Thank you.

21 CHAIR HOCHSCHILD: Thank you, Commissioner.

22 Let's go to Vice -- let's see, Vice Chair, you
23 went, correct?

24 VICE CHAIR GUNDA: Unless you want me to go again
25 (indiscernible).

1 CHAIR HOCHSCHILD: I think you're it.

2 (Indiscernible) okay.

3 VICE CHAIR GUNDA: Okay, Chair can I

4 (indiscernible)?

5 CHAIR HOCHSCHILD: Yeah, please go ahead.

6 VICE CHAIR GUNDA: So just I know Commissioner
7 Monahan had to step out when I was sharing the spirit of
8 Diwali and just thanking her.

9 I think I didn't want to expand on it, but I will
10 just for the moment is even in the best of times we lose
11 sight of the words we use. And sometimes you lose the
12 discipline of trusting your better judgment and knowing who
13 your friends are and people who care about you. And she
14 has helped me remind of that and so I just wanted to thank
15 Commissioner Monahan, but more lovingly known as Patty, a
16 friend, just thank you. Thank you for showing me that, it
17 was extremely needed.

18 And I want to note in the spirit of Diwali I also
19 want to welcome our staff to be mindful of the words we
20 use. And not to lose the discipline of grace and love and
21 respect for each other. That's the kind of foundation of
22 having a good community and having a foundation of seeing
23 us together, so I just want to appeal to everybody as you
24 use your words choose them carefully. Thank you.

25 CHAIR HOCHSCHILD: Thank you so much, Vice Chair.

1 And everyone for bringing such humanity to the conversation
2 today.

3 This meeting we had no voting items and that was
4 deliberate. I really wanted us to have the space to kind
5 of go deeper on a bunch of these informational
6 presentations and have space for this dialogue. The
7 cadence of our work sometimes is so fast and full that we
8 don't get a chance for this kind of dialogue.

9 And I just want to, again acknowledge it's just
10 beautiful to have a moment of silence for the young women
11 of Iran. And to contemplate the significance of Diwali.
12 And to have some dialogue, and we're doing it in greater
13 depth. It really is wonderful.

14 And I will just pile on with my gratitude to
15 Noemi. Although nobody has been wishing her the thing she
16 needs most of all, which is great strength to deal with
17 such a cantankerous boss that she has now. So I wish her
18 that as well as sharing all my thanks.

19 And I will share two events I did and one
20 interesting milestone. The interesting milestone, I think
21 I'll start with that, was the Tesla factory. So I met with
22 Tesla last week. They are now manufacturing 2,000 electric
23 vehicles a day off the Fremont line.

24 So my old company when I worked in Silicon Valley
25 was across the street from that factory when it was the

1 NUMMI Plant. This was the joint venture of GM and Toyota.
2 That was the biggest car factory west of the Mississippi at
3 that time. Tesla's producing more electric vehicles in
4 that facility than NUMMI ever did, in fact twice as many.
5 And so this is now the most productive car factory in North
6 America. And it's happening here in California.

7 There's obviously a whole ecosystem of suppliers
8 that's been built around that facility. And what I'd call
9 a diaspora of Tesla talent that's gone on to start so many
10 of the companies that we have funded and partnered with,
11 from Form Energy to Proterra to countless others that are
12 basically Tesla alumni.

13 And so I do want to pause on that because that's
14 a really significant milestone. And they're not done,
15 they're still scaling and growing and investing and
16 employing over 40,000 Californians. And helping, along
17 with many, many other kinds of companies, the state meet
18 our goals for transportation electrification. So anyways I
19 did want to highlight that, it's really of note, I think.

20 And then I had two visits that I wanted to share
21 briefly. And one was last week, a company called
22 Smartville, which we funded, which is down in San Diego.
23 They are taking used electric vehicle batteries, so
24 basically Tesla batteries and Nissan LEAF batteries. These
25 are vehicles that have either -- let's say the vehicles

1 have been operating for eight years or so and may be down
2 to 75-80 percent of its nameplate capacity, but still has a
3 healthy second life. They're repurposing and repackaging
4 these into metal shipping containers. And in some cases,
5 the vehicle may have been in an accident, the battery
6 wasn't damaged, but the vehicle is damaged. And so they
7 can't use it, so they are repurposing these for a second
8 life as backup building energy storage.

9 And it's a very inventive idea. I think it goes
10 to a lot of the circular economy discussions we've had as
11 an agency, along with many others. And it was great to
12 dedicate that project.

13 This was at the library for UC San Diego which as
14 an institution, as you all know, has absolutely
15 distinguished themselves among the UC system, leading in so
16 many different technology categories. They have over 300 EV
17 chargers there on campus. And I think there is no more
18 roof space left at UC San Diego that has not been covered
19 in solar. So those guys have done a phenomenal job. That
20 was a great dedication and good to see the partnership bear
21 some fruit.

22 And then the second site visit I did was to give
23 a talk at the dedication of the Advanced Energy Center at
24 Sonoma Clean Power. This is a I want to say \$9.8 million
25 grant we did to support what is really the largest building

1 decarbonization, electrification, public-facing center that
2 I'm aware of. And it's helping -- they're doing
3 demonstration cooking classes on induction cooktops. And
4 they offer 0 percent financing for all of these electric
5 heat pump technologies, \$3,000 rebates for the appliances,
6 electric bicycles, and all sorts of other things. So
7 that's a real tribute to Sonoma Clean Power and that team.
8 And I want to thank the good folks on the EPIC team who
9 helped support that grant.

10 And then next week I will be dedicating --
11 Lindsay is pulling together a ceremony working with the
12 Viejas Tribe of Kumeyaay Indians around the long duration
13 storage dedication. That is the largest grant we've ever
14 given for a long duration storage project, \$31 million, and
15 the largest tribal grant we've ever given.

16 And it may be -- I'm getting this verified -- it
17 may also be the largest tribal grant ever given by the
18 state to a Native American tribe. So a real milestone, and
19 I think it aligns really nicely with our efforts to support
20 all these priorities, from tribal energy sovereignty, to
21 climate, to the innovation economy, to grid reliability.
22 So thanks again to Mike Gravely and the whole team for
23 working on that.

24 And I will stop there. And I do want to just say
25 thanks again to everybody for making time for this meeting.

1 I really wanted us to be able to go in depth on some of
2 these discussions, and so thanks to all for that.

3 Let's turn now to Item 6, Executive Director's
4 Report.

5 MR. BOHAN: Thank you, Chair.

6 No report, but I did want to also acknowledge
7 Mona. And just say I met her not soon after she started
8 some years ago, and she quickly distinguished herself as a
9 fine lawyer, junior lawyer. She advanced to become a
10 senior lawyer. And then she took a job in Patty's office
11 and now she's appointed by the Governor, which makes three
12 people on this dais former staff who have become Governor's
13 appointees. And I think it really speaks to the
14 organization that people have an opportunity here. And the
15 opportunities are pretty much endless. So kudos to all
16 three of you and especially Mona, given this is her day.

17 And again I also want to acknowledge the
18 incredibly difficult task she has trying to fulfill the job
19 in a way that Noemi has set the baseline for. So thank you
20 for the opportunity.

21 CHAIR HOCHSCHILD: Thank you. We'll turn to Item
22 7, Public Advisor's Report.

23 MS. BADIE: This is Mona, I don't know if Dorothy
24 has anything. There we go.

25 MS. MURIMI: Thank you. Apologies, I was double

1 muted there. Nothing but excitement from the Office of the
2 Public Advisor, Energy, Equity and Tribal Affairs for Mona
3 coming on to the team. And other than that, we're super-
4 excited and that's it for our office.

5 CHAIR HOCHSCHILD: Thank you. We'll turn now to
6 Item 8, Public Comment.

7 MS. MURIMI: Thank you Chair. So this is the
8 period for any person wishing to comment on information
9 items or reports of the meeting agenda, or any other item.
10 Each person has up to three minutes to comment and comments
11 are limited to one representative per organization. We may
12 reduce the comment time depending on the number of
13 commenters. After you're called on please re-state and
14 spell your first and last name and state your affiliation
15 if any.

16 For those calling in via Zoom use the raised-hand
17 icon to indicate your interest in making a public comment.
18 And if you're coming in by phone press *9 to raise your
19 hand and *6 to unmute on your end. Do not use the
20 speakerphone feature, it will make it difficult for us to
21 hear you.

22 I'll begin with those on Zoom. There's an
23 individual whose name is labeled K.S. Your line is
24 unmuted. Please state your name and you may begin. (No
25 audible response.) That's K.S. Giving that one moment.

1 You may want to unmute on your end, the little microphone
2 icon on your screen.

3 (No audible response.)

4 CHAIR HOCHSCHILD: Let's move on, Dorothy.

5 MS. MURIMI: I'm seeing no other commenters,
6 Chair, I'll hand the mic back to you.

7 CHAIR HOCHSCHILD: Thank you. We'll turn now to
8 Item 9, Chief Counsel's Report.

9 MS. BARRERA: Good afternoon Chair and
10 Commissioners. There is no report from the Chief Counsel's
11 Office, but I do want to second and congratulate both Mona
12 and Kat Robinson for (indiscernible) overall and wish them
13 much success. And everybody in the Chief Counsel's Office,
14 is really looking forward to working with them.

15 CHAIR HOCHSCHILD: Great.

16 MS. BARRERA: Thank you.

17 CHAIR HOCHSCHILD: All right. Thank you so much,
18 everybody. We're adjourned.

19 (The Business Meeting adjourned at 12:42 p.m.)

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of October, 2022.




MARTHA L. NELSON, CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of October, 2022.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852