

**DOCKETED**

<b>Docket Number:</b>	17-MISC-01
<b>Project Title:</b>	California Offshore Renewable Energy
<b>TN #:</b>	247914
<b>Document Title:</b>	Transcript for Assembly Bill 525 Workshop Assessing Transmission Upgrades and Investments for Offshore Wind Development
<b>Description:</b>	Transcript for Assembly Bill 525 Workshop: Assessing Transmission Upgrades and Investments for Offshore Wind Development off the Coast of California (November 10, 2022)
<b>Filer:</b>	susan fleming
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	12/5/2022 12:00:05 PM
<b>Docketed Date:</b>	12/5/2022

CALIFORNIA ENERGY COMMISSION

In the matter of:

California Offshore Renewable )      Docket No. 17-MISC-01  
Energy )  
\_\_\_\_\_ )

WORKSHOP ON ASSEMBLY BILL 525:

ASSESSING TRANSMISSION UPGRADES AND INVESTMENTS FOR  
OFFSHORE WIND DEVELOPMENT OFF THE COAST OF CALIFORNIA

TRANSCRIPT OF PROCEEDINGS

REMOTE VIA ZOOM

THURSDAY, NOVEMBER 10, 2022

1:00 P.M.

Reported by:

Martha Nelson

APPEARANCESCEC STAFF

Jim Bartridge, Siting, Transmission, and Environmental  
Protection Division

Rhetta deMesa, Siting, Transmission, and Environmental  
Protection Division

Melissa Jones, Siting, Transmission, and Environmental  
Protection Division

Hilarie Anderson, Siting, Transmission, and Environmental  
Protection Division

PRESENTERS

David Withrow, CPUC

Nathan Barcic, CPUC

Jeff Billinton, CAISO

Arne Jacobson, Schatz Energy Research Center

James Zoellick, Schatz Energy Research Center

Jeppe Lundbaek, Danish Energy Agency

Peter Markussen, Energinet

PUBLIC ADVISOR

Dorothy Murimi

PUBLIC COMMENT

Liz Klebaner

APPEARANCESPUBLIC COMMENTS (cont.)

Timothy Jefferies, International Brotherhood of  
Boilermakers

Dan Jacobson, Environment California

Amy Jester, Redwood Region Climate and Community Resiliency  
Hub

INDEX		<u>PAGE</u>
Welcome		
Jim Bartridge, California Energy Commission		5
Overview of AB 525		7
Rhetta deMesa, California Energy Commission		
AB 525 Transmission Assessment		11
Melissa Jones, California Energy Commission		
Key Offshore Wind Transmission Information and Studies		
Integrated Resource Plan (IRP) Portfolios		18
David Withrow, California Public Utilities Commission		
Offshore Wind Transmission Studies		29
Jeff Billinton, California Independent System Operator		
Transmission Assessments for Northern California		43
Arne Jacobson, Schatz Energy Research Center		
Jim Zoellick, Schatz Energy Research Center		
Transmission Experiences from Denmark		64
Jeppe Lundbaek, Danish Energy Agency		
Peter Markussen, Energinet		
Public Comments		100
Closing Remarks		108
Adjourn		109

P R O C E E D I N G S

1:01 p.m.

THURSDAY, NOVEMBER 10, 2022

MR. BARTRIDGE: Well, good afternoon, everyone.

I'm Jim Bartridge with the Energy Commission's Siting, Transmission, and Environmental Protection Division. Welcome to today's workshop, which is focused on assessing the transmission upgrades and investments necessary to support offshore wind development off the coast of California, as required by Assembly Bill 525.

Next slide, please.

Before we begin, let me go over a few housekeeping items.

First, this meeting is remote access only and is being recorded. The workshop recording will be made available on the Energy Commission's website after the meeting.

Please note that to make the Energy Commission's workshops more accessible, Zoom's closed captioning has been enabled. Attendees can use the service by clicking on the "Live transcript" icon and then choosing either "Show subtitle" or "View full transcript." The closed captioning service can be stopped or exited out of the live transcript by selecting the "Hide subtitle" icon.

Next slide, please.

1           Okay, today's agenda will begin with a brief  
2 overview of Assembly Bill 525 by Rhetta deMesa. And then  
3 Melissa Jones will present on the requirements and approach  
4 of the transmission assessment required by 525.

5           We'll then hear a series of presentations on  
6 ongoing and upcoming transmission planning studies,  
7 starting with the CPUC and their work on offshore wind  
8 within the Integrated Resource Planning proceeding,  
9 followed by the California Independent System Operator and  
10 their annual transmission planning process.

11           Next, we'll hear presentations by the Schatz  
12 Research Energy Center at Cal Poly Humboldt on studies  
13 already conducted and new studies underway on transmission  
14 for offshore wind.

15           Finally, we're fortunate to have representatives  
16 of the Danish Energy Agency and Energinet, the Danish  
17 National Transmission System Operator, who will present on  
18 their experience with transmission development for offshore  
19 wind in Denmark.

20           Following the presentations there will be an  
21 opportunity for public comment. When we get to the public  
22 comment portion of the agenda, we'll be using the raise-  
23 hand feature and we'll provide additional instruction for  
24 public comment at that time.

25           I'd like to now introduce Rhetta deMesa to give a

1 few brief -- to give us a brief overview of AB 525.

2 Next slide, please.

3 Rhetta?

4 MS. DEMESA: Thanks, Jim.

5 Good afternoon, everyone. As Jim mentioned, I'm  
6 Rhetta deMesa with the Energy Commission's Siting,  
7 Transmission, and Environmental Protection Division, and  
8 also the Project Manager for the CEC's requirement to  
9 develop a Strategic Plan for offshore wind energy  
10 development required by Assembly Bill 525. This afternoon,  
11 I'm going to be giving a brief overview of AB 525 to kick  
12 us off.

13 Next slide, please.

14 Assembly Bill 525 became effective January 1st of  
15 this year and set the analytical framework for offshore  
16 wind energy development off the California coast in federal  
17 waters. In enacting AB 525, the legislature found and  
18 declared, among other things, that if developed and  
19 deployed at scale, offshore wind can provide economic and  
20 environmental benefits to the state and the nation, advance  
21 California's progress toward its statutory renewable energy  
22 and climate mandate, increase the diversity of the state's  
23 resource portfolio and lower overall costs, and provide an  
24 opportunity to attract investment capital and to realize  
25 community economic and workforce development benefits in



1 California.

2 Next slide, please.

3 AB 525 tasked the CEC, in coordination with an  
4 array of specified local, state, and federal partners, and  
5 with input from stakeholders, to develop a Strategic Plan  
6 for offshore wind energy development installed off the  
7 California coast in federal waters by June 30, 2023. The  
8 legislation further identifies priority considerations in  
9 developing the Strategic Plan. The legislation states the  
10 Strategic Plan shall emphasize and prioritize near-term  
11 actions, particularly related to port retrofits,  
12 investments, and the workforce, to accommodate the probable  
13 immediate need for jobs and economic development.

14 In considering port retrofits, the Strategic Plan  
15 shall strive for compatibility with other harbor tenants  
16 and ocean users to ensure that the local benefits related  
17 to offshore wind energy construction complements other  
18 local industries. The Strategic Plan shall emphasize and  
19 prioritize actions that will improve port infrastructure to  
20 support land-based work for the local workforce. And  
21 finally, the development of the Strategic Plan regarding  
22 workforce development shall include consultation with  
23 representatives of key labor organizations and  
24 apprenticeship programs that would be involved in  
25 dispatching and training the construction workforce.

1           Next slide, please.

2           In consideration of the legislative findings and  
3 priorities identified for the Strategic Plan, the Plan is  
4 required to include, at a minimum, the following five  
5 chapters, the identification of seaspace, economic and  
6 workforce development and identification of port space and  
7 infrastructure, transmission planning, permitting, and  
8 potential impacts on coastal resources, fisheries, Native  
9 American and indigenous peoples, and national defense, as  
10 well as strategies for addressing those potential impacts.  
11 Information presented and discussed today will be used to  
12 inform the required chapter on transmission planning.

13           In developing the Strategic Plan, AB 525 also  
14 requires the CEC to complete a number of interim work  
15 products. By June 1st of this year, the CEC was to  
16 evaluate and quantify the maximum feasible capacity of  
17 offshore wind to achieve reliability, ratepayer,  
18 employment, and decarbonization benefits, and to establish  
19 megawatt planning goals for 2030 and 2045. And by December  
20 31st of this year, the CEC must complete both a preliminary  
21 assessment of the economic benefits of offshore wind as  
22 they relate to seaport investments and workforce  
23 development needs and standards, and a permitting roadmap  
24 that describes the timeframes and milestones for a  
25 coordinated, comprehensive, and efficient permitting

1 process for offshore wind energy facilities and the  
2 associated electricity and transmission infrastructure.

3 Next slide, please.

4 In addition to the interim work products I just  
5 mentioned, in developing the Strategic Plan, AB 525 asks  
6 the CEC to identify suitable seaspace for wind energy areas  
7 in federal waters sufficient to accommodate the offshore  
8 wind planning goals, to develop a plan to improve  
9 waterfront facilities that can support a range of floating  
10 offshore wind development activities, and to assess the  
11 transmission investments and upgrades necessary, including  
12 subsea transmission options, to support the offshore wind  
13 planning goals. Today, we'll be focusing on the AB 525  
14 requirement to assess the transmission investments and  
15 upgrades necessary to support the offshore wind planning  
16 goals.

17 Next slide, please.

18 Finally, I want to highlight that in August of  
19 this year, the CEC adopted offshore wind planning goals of  
20 2,000 to 5,000 megawatts by 2030 and 25,000 megawatts by  
21 2045. These goals were established for the purposes of  
22 guiding the development of the Strategic Plan, including  
23 the transmission assessment.

24 Next slide, please.

25 That concludes my presentation and the overview

1 of AB 525. I'd now like to hand it over to Melissa Jones,  
2 our technical staff lead, overseeing the transmission  
3 assessment.

4 MS. JONES: Good afternoon. I'm Melissa Jones,  
5 the Technical Lead for Offshore Wind Transmission.

6 Next slide, please.

7 AB 525 requires transmission planning.  
8 California must initiate long-term transmission and  
9 infrastructure planning for delivery of offshore wind to  
10 Californians.

11 AB 525 requires the Commission to include a  
12 chapter on transmission in the Strategic Plan.  
13 Specifically, the Commission, in consultation with the  
14 California Public Utilities Commission and the California  
15 Independent System Operator, must assess the transmission  
16 investments and upgrades necessary, including subsea  
17 transmission options, to support the 2030 and 2045 offshore  
18 wind megawatt planning goals. The assessment must include  
19 relevant cost information for network upgrades and subsea  
20 transmission, as well as the extent to which existing  
21 transmission infrastructure and available capacity could  
22 support offshore wind energy development.

23 Next slide, please.

24 In terms of the goals and objectives for the  
25 transmission assessment, the availability of existing

1 transmission and the need to develop additional  
2 transmission capacity in specific areas of the state needs  
3 to be analyzed in the context of offshore wind planning  
4 goals that were established in August. Transmission  
5 development is a long lead-time activity. And assessing  
6 the investments and upgrades required to support the 2030  
7 and 2045 offshore wind planning goals, as required in AB  
8 525, can help inform existing state infrastructure  
9 planning. Delivery of reliable, diverse, secure, and  
10 affordable renewable energy from offshore wind projects  
11 will allow them to be a critical part of a future  
12 electricity system that operates with 100 percent  
13 renewables and zero carbon resources.

14 California will need to develop a comprehensive  
15 Transmission Capacity Expansion Plan -- excuse me -- to  
16 help establish an efficient and economic path for offshore  
17 wind development. With the many uncertainties about who  
18 will develop projects where and when, this is a  
19 particularly challenging but essential task. The Strategic  
20 Plan will set us on a path to conduct the necessary  
21 transmission planning and provide information that can help  
22 inform the needed transmission upgrades and investment to  
23 support the planning goals.

24 This will be especially important for the first  
25 phase of offshore wind development as the Bureau of Ocean

1 Energy Management is scheduled to hold a first ever lease  
2 sale for offshore renewable energy off the California coast  
3 in less than a month. We will build off the existing body  
4 of work, including transmission studies in the CPUC's  
5 Integrated Resource Plan, or IRP, and the California ISO's  
6 transmission planning process, or TPP. We'll also include  
7 work from the Schatz Energy Research Center and other  
8 available research. Some of these studies will be  
9 described in more detail in the workshop today. We will  
10 also initiate additional technical work to feed into the  
11 Strategic Plan chapter and to inform other areas required  
12 in AB 525, like Permitting Roadmap and seaspace evaluation.

13           Next slide, please.

14           Transmission infrastructure includes the cables  
15 and network equipment necessary to interconnect offshore  
16 wind generation projects. We don't yet know whether  
17 projects will be connecting to offshore floating  
18 substations and then to substations on land, or if they  
19 will directly connect to onshore substations. We will need  
20 to better understand the variety of technologies and  
21 configurations that may be used by project developers for  
22 interconnection. We will explore these with input from the  
23 offshore wind industry and others.

24           In terms of bulk transmission upgrades, in  
25 addition to downstream from projects themselves, the

1 existing transmission system in the Northern and Central  
2 Coasts are very different, and our analytical approach  
3 recognizes these facts.

4           The existing transmission on the North Coast  
5 serves only relatively small local loads. The challenge  
6 for delivering offshore wind at significant scale is that  
7 the North Coast has limited connections to the major  
8 existing transmission paths in California. Additional  
9 transmission infrastructure will be needed to deliver  
10 offshore wind from the North Coast to the rest of the  
11 state. Options that have been examined and are continuing  
12 to be examined include overland transmission to connect the  
13 Humboldt Wind Area and other North Coast offshore wind  
14 areas to the existing transmission in the north central  
15 portions of the state.

16           The possibility of developing subsea cables that  
17 could connect directly to the Bay Area from offshore wind  
18 projects off the North Coast is also being examined. And  
19 there are other possibilities for transmission options that  
20 could connect offshore wind resources in Northern  
21 California and Southern Oregon and deliver to the broader  
22 western market.

23           In contrast, the Central Coast area already has a  
24 robust transmission system that currently serves existing  
25 power plants on the Central Coast. This makes transmission

1 planning for the region different than the planning  
2 considerations for the North Coast. However, there still  
3 is a need for both the at sea infrastructure and the  
4 ability to use existing and develop new onshore  
5 infrastructure. In addition, there could be potential  
6 subsea options to bring offshore wind to California loads.

7           Next slide, please.

8           In terms of the tasks and timelines for  
9 developing the transmission assessment, as we discussed,  
10 we're approaching the transmission assessment by region  
11 with separate evaluations for the North and Central Coasts.  
12 And we've already initiated a number of work efforts that  
13 include reviewing the body of work used for developing the  
14 Offshore Wind Goals Report adopted in August, and new  
15 studies conducted since then. This research will continue  
16 through March of 2023. We're also pursuing contract  
17 support for technical work associated with assessing  
18 interconnection and subsea cables, the technologies and the  
19 costs.

20           In October, we kicked off the Schatz Energy  
21 Research Center study for the North Coast of California and  
22 the southern portions of Oregon under a Department of  
23 Defense grant, which we will hear more about in  
24 presentations to follow.

25           We're also closely coordinating with the CPUC and



1 the California ISO to take advantage of transmission  
2 studies underway for offshore wind, which you will hear  
3 more about in the presentations to follow.

4 Most of the drafting work of the chapter will  
5 occur in January through March of next year. We anticipate  
6 releasing a draft chapter in April or May of 2023 and  
7 holding a public workshop to take comments on it. We will  
8 also present the Strategic Plan for consideration at a CEC  
9 business meeting by the end of June 2023.

10 Next slide, please.

11 To quickly review the key inputs for the  
12 transmission assessment, several will inform them. This  
13 includes the studies and information from the IRP, the 2020  
14 BOEM-funded studies at the Schatz Energy Research  
15 Institute, and additional work they've conducted in 2022.  
16 They will also be describing the current DoD-funded study  
17 focused on transmission in Northern California and southern  
18 Oregon.

19 We'll also include transmission infrastructure  
20 research studies underway, including but not limited to  
21 those by the Pacific Northwest National Lab, NREL, the  
22 Oregon Department of Energy, and others that may help  
23 inform the Strategic Plan.

24 We will also be soliciting input and feedback  
25 from stakeholders, tribal governments, other interested

1 parties, and the public.

2 Next slide, please.

3 In terms of public engagement, most of the public  
4 engagement for the transmission assessment will be in the  
5 form of workshops and webinars. We also have a State  
6 Agency Working Group to ensure coordination among the key  
7 state agencies involved in transmission. And we plan to  
8 continue to work closely with our federal partners.

9 Additionally, we plan to hold meetings with  
10 targeted stakeholders and interested parties, such as  
11 industry, environmental NGOs, local governments and  
12 community organizations, tribes and tribal governments,  
13 fishermen and other ocean users, and others.

14 Next slide, please.

15 Today, we will be focusing on the studies done to  
16 date and their findings regarding offshore wind, studies  
17 underway we hope to draw from for the Strategic Plan, and  
18 some experience that's been gained from the experience in  
19 Denmark.

20 With that, I would like to turn to our other  
21 presenters. First, I would like to introduce David Withrow  
22 from the CPUC. We will then move to Jeff Billinton from  
23 the California ISO. And then we'll take a short break and  
24 come back for the rest of our presentations.

25 Thank you for giving me the time today.

1           MR. WITHROW: Thank you, Melissa. I'm David  
2 Withrow. I work on the Integrated Resource Planning Team  
3 at the Public Utilities Commission. I'm joined today by  
4 Nathan Barcic, who is the Manager of the IRP Team, so he  
5 manages the considerable internal deliberations of IRP, as  
6 well as considerable stakeholder interactions with all the  
7 LSEs in California as we develop this ongoing IRP process.

8           To follow up on Melissa's excellent context of  
9 this transmission assessment for the AB 525 Strategy, I  
10 want to do in this short presentation. I want to do three  
11 things: summarize the current process and constructive  
12 interaction between the CPUC's IRP process and the CAISO's  
13 transmission planning process; secondly, review the recent  
14 history of CPUC portfolios that have been the basis for the  
15 CAISO's transmission planning studies; and thirdly, explain  
16 the latest set of portfolios that are proposed for CAISO's  
17 analysis during the 2023-2024 TPP cycle, which will  
18 commence next year.

19           Next slide.

20           So, yeah, just to summarize, this is probably  
21 familiar territory but it's good to set the context, the  
22 CAISO's transmission planning process evaluates the CAISO  
23 transmission system every year to address grid reliability  
24 requirements and identify upgrades needed to successfully  
25 meet California's policy goals. The TPP is conducted by

1 CAISO's planning engineers, and their excellent analysis is  
2 based upon two key inputs that are provided by state  
3 policymakers.

4 First, the CPUC's IRP process provides to the  
5 CAISO the optimal portfolios of generation and storage  
6 resources that, based on extensive modeling, the state will  
7 need in the future. And, secondly, the CEC provides to the  
8 CAISO the load forecast through its IEPR process. These  
9 are the key inputs that drive the need for new  
10 transmission. And, obviously, the relationship is as the  
11 portfolios increase in size and the higher the load  
12 forecast, then the analysis is more likely to identify need  
13 for new transmission.

14 I want to emphasize a key distinction that is  
15 illustrated on the far right of this diagram. The base  
16 portfolio that the CPUC annually conveys to the CAISO, the  
17 results of the CAISO analysis of this base portfolio is  
18 actionable, which means that if the results of their  
19 analysis of the base case show the need for additional  
20 transmission development, then the CAISO staff can  
21 recommend that certain transmission facilities should be  
22 approved by the CAISO Board.

23 If that happens, if the CAISO Board approves  
24 these recommended, specifically new, transmission projects,  
25 then those projects would be presumed to be eligible to

1 receive cost recovery through the CAISO's transmission  
2 access charge. And resolving how a new project gets  
3 financed is a big milestone in the development of new  
4 transmission.

5           The CPUC also conveys to the CAISO in each TPP  
6 cycle one or two portfolios for sensitivity analysis.  
7 These sensitivity portfolios are not necessarily optimal,  
8 or it may not even be feasible. The results of the  
9 sensitivity studies in the CAISO's analysis are really for  
10 information. They're not actionable, but they do provide  
11 often useful directional guidance that can help develop  
12 future portfolios and could offer good information  
13 specifically for this AB525 strategy report.

14           Next slide.

15           I want to call attention, too, the PUC, with  
16 these portfolios, conducts a busbar mapping process, which  
17 is the process of refining geographically coarse resources  
18 to be mapped to specific substations. This exercise was  
19 first conducted as a proof of concept in the 2018-2019 TPP  
20 cycle. It was formalized into a joint effort by a working  
21 group comprised of PUC, CEC, and CAISO staff. And it's now  
22 been immortalized in a methodology document that's posted  
23 on the PUC website and is subject to stakeholder vetting at  
24 any point, as well.

25           So now I just want to have a quick high-level

1 review -- next slide -- of the PUC portfolios that the  
2 CAISO has been analyzing over the first -- over the recent  
3 years.

4           Specifically, at a high level, on the far left,  
5 the 2020-2021 portfolio, note that it included only about  
6 12 gigawatts of nameplate capacity of resource needs. And  
7 if you see the escalating growth of these portfolios, if  
8 you look at the third bar for the 2022-23 TPP that's being  
9 studied now, this includes more than triple the amount of  
10 the 2020 study. The 40 gigawatts are being studied,  
11 nameplate capacity are being studied, for this current TPP  
12 cycle. And if you look at the final two bars on the right,  
13 the proposed '23-24 TPP cycle, we're talking 85 gigawatts  
14 of nameplate capacity by 2035, so a tremendous escalating  
15 growth. There's much greater resource diversity, as well.  
16 New resources are being added, including offshore wind.  
17 And this graph particularly just shows, in recent years,  
18 the tremendous escalating growth of the portfolios under  
19 study by the CAISO.

20           MR. BARCIC: David, if you don't mind me putting  
21 a finer point on a couple of those items?

22           MR. WITHROW: Please.

23           MR. BARCIC: I really do want to underline the  
24 trend here that this slide is showing that David just  
25 described, of the growing portfolios and the size of the

1 new proposed base case, especially by 2035. Clearly, you  
2 should note the end years that are noted in each of those  
3 headers along the X-axis. They do progress in time, so  
4 that explains part of the growth in nameplate capacity, but  
5 not all of it. This is a sign that things are getting more  
6 ambitious, so to speak.

7           What we also want to note is that on that last  
8 slide that David was highlighting for the busbar mapping  
9 process, as he mentioned, it's been about four years that  
10 we've run the process. And this is the first year that  
11 we've actually invited at an earlier stage stakeholder  
12 input on the busbar mapping itself at the stage of ruling.  
13 We had some stakeholders that were pretty vocal with us  
14 saying, hey, we'd like more insight into where you're  
15 mapping things. Can you please, you know, provide us more  
16 visibility? And we're really trying to cater to that by  
17 moving some things around in our own schedule while also  
18 trying to keep the timelines that we can transmit to CAISO  
19 on time.

20           But generally speaking, we think this shows  
21 pretty, you know, strong growth of our planning processes  
22 ambition, like I mentioned, in terms of the commitment to  
23 resource build. And I'll also note that this portfolio  
24 that's reflected in the right two columns of this slide is  
25 actually, more or less, already in CAISO's hands as a

1 sensitivity that we transmitted in the July 1st letter  
2 signed by CPUC and CC commissioners. A portfolio very like  
3 this is already being studied, and I think preliminary  
4 results for it will be in hand soon over at CAISO.

5 But thanks, David.

6 MR. WITHROW: Next slide.

7 So now I just want to do a quick high-level  
8 review of these recent CPUC portfolios that the CAISO has  
9 or will be analyzing over three TPP cycles.

10 This 2021-2022 TPP cycle was just completed  
11 earlier this year. In February, the PUC had conveyed to  
12 the CAISO the reliability and policy-driven base case  
13 portfolio that meets a 46 million metric ton greenhouse gas  
14 emissions target by 2031. The decision also conveyed a  
15 policy-driven sensitivity portfolio that included a large  
16 amount of offshore wind resources to improve transmission  
17 assumptions. And the CAISO's 2021-2022 Transmission Plan,  
18 which was posted earlier this year, showed the results of  
19 all this analysis which include -- which led to the CAISO's  
20 Board's approval of \$3 billion in new transmission projects  
21 that are needed to ensure grid reliability and meet state  
22 policy goals.

23 Again, the Transmission Plan also analyzed  
24 constraints and transmission implications from 8.3  
25 gigawatts of offshore wind in the North and Central Coast



1 regions, providing a lot of informative analysis from that  
2 sensitivity study, which I think Jeff Billinton will  
3 discuss a little bit later.

4 Next slide.

5 For the 2022-23 TPP cycle, which the CAISO is  
6 currently analyzing, this is based upon the Commission's  
7 preferred system plan, which the Commission adopted in  
8 February of this year. This is a key portfolio, a key part  
9 of the IRP cycle, because it incorporates not only our  
10 modeling but incorporates the IRP plans of the 40-plus LSEs  
11 as they lead off of our planning goals as well.

12 So this portfolio adopted a 38 MMT target for  
13 greenhouse gas emissions by 2030, which drops to 35 MMT by  
14 2032. The base portfolio for this year's TPP includes 1.7  
15 gigawatts of offshore wind in 2032.

16 As Nathan mentioned, CAISO was also asked to  
17 analyze the sensitivity portfolio with a 30 MMT emissions  
18 limit and using high electrification demand assumptions.  
19 And this sensitivity portfolio, which is under study right  
20 now, includes 4.7 gigawatts of offshore wind in 2035. So  
21 again, CAISO's analysis is ongoing. They'll have a draft  
22 transmission plan by the first quarter of next year and  
23 will bring it to their board probably in May of 2023.

24 Next slide.

25 Now for the next TPP cycle, 2023 to 2024, which

1 will start next year, the PUC staff has proposed, through  
2 an ALJ ruling on October 7th, the three portfolios to be  
3 analyzed by the CAISO in this TPP that begins next year.  
4 The recommendation for the actionable base case will likely  
5 be the portfolio with a 30 MMT emissions target in 2030 and  
6 a high load assumption using the CEC's additional  
7 transportation electrification scenario. This actually  
8 drops to 25 MMT by 2035.

9           As Nathan mentioned, this is the -- this base  
10 case for next year is the sensitivity case for this year.  
11 It includes 3.1 gigawatts in the Morro Bay area and 1.6  
12 gigawatts of offshore wind resources in the Humboldt area  
13 in 2035.

14           Furthermore, in some of our correspondence with  
15 the CAISO, public correspondence, and in the ALJ ruling in  
16 October, the CAISO --- the PUC is encouraging the CAISO to  
17 identify and improve transmission needs in this current  
18 2022-23 TPP cycle cycle to get a head start on transmission  
19 development.

20           Also recommended for next year's TPP cycle are  
21 two complementary sensitivity portfolios designed to  
22 identify transmission needs associated with offshore wind.  
23 We'll get to them in just a minute. But, again, this  
24 year's -- this coming year's focus is a lot on offshore  
25 wind transmission development.

1           MR. BARCIC: And, David, I think on a process  
2 point, somewhat coincidentally --

3           MR. WITHROW: Please.

4           MR. BARCIC: -- we do have reply comments due  
5 today on the ruling and the portfolios that David has been  
6 describing here. So thanks for all the stakeholders that  
7 are contributing to that and maybe still trying to submit.

8           MR. WITHROW: Next slide.

9           So this is the base portfolio, again, for next  
10 TPP cycle, which is basically the sensitivity portfolio for  
11 this. This TPP cycle, again, this includes all the  
12 resources but, again, to highlight 3.1 gigawatts of  
13 offshore wind is selected in 2030 and 1.6 gigawatts of  
14 additional offshore wind selected by 2035.

15           And the next slide, I think, yeah, it just shows  
16 it in numerical fashion, the amount of resources by year as  
17 a good reference source.

18           Next slide.

19           This summarizes the nature of the two sensitivity  
20 portfolios that CPUC staff has recommended for the next TPP  
21 cycle. Both portfolios still optimize around the same 30  
22 MMT by 2030 greenhouse gas target and the same high  
23 electrification load forecast, but they're using different  
24 mixes of resources to identify key transmission  
25 information. The first sensitivity is what we call the

1 additional offshore wind sensitivity portfolio.

2           The purpose is to refine and update transmission  
3 capability and upgrade assumptions relevant to offshore  
4 wind resources, including -- which includes the AB 525  
5 planning goals and updated resource costs and potential  
6 assumptions accounting for changes and as well as the  
7 higher load scenario. This sensitivity basically forces in  
8 13.4 gigawatts of capacity of offshore wind resources by  
9 2035. This is, as I understand it, a linear extrapolation  
10 of AB 525 planning goals. So it is consistent with the AB  
11 525 planning goals of 2 to 5 gigawatts by 2030.

12           We're also using higher density assumptions for  
13 resources based on recent NREL studies. And the allocation  
14 to these regions are 5.4 gigawatts in Morro Bay region, 3  
15 gigawatts in Humboldt, and up to 5 gigawatts in either Cape  
16 Mendocino or Del Norte areas, which could well become wind  
17 energy -- be designated wind energy areas in the near  
18 future.

19           The second sensitivity is a limited offshore wind  
20 sensitivity portfolio. In this case, we're artificially  
21 limiting both offshore and out of state wind to 2 gigawatts  
22 each through 2035 to sort of highlight a potential scenario  
23 where resources are slow to develop. This could help, the  
24 philosophy behind this sensitivity is it could help  
25 identify least regrets transmission upgrades that would be

1 beneficial across a broad range of resource mixes. Whether  
2 offshore wind goes fast or development goes fast or whether  
3 it's at a slower pace, this could help identify  
4 transmission upgrades that are needed regardless.

5           Alright, next slide.

6           I think this graphically shows the color coded  
7 amounts of resources and again, 3.4 gigawatts of offshore  
8 wind by 2030 and another 10 gigawatts are forced in by  
9 2035.

10           In the next slide, I think we have the, yeah, the  
11 numerical mix -- the numerical megawatt amounts. And  
12 compared to the other sensitivity cases, additional  
13 offshore wind sensitivity case compared to the base case,  
14 you can see there's incrementally much more offshore wind  
15 and less of other resources, including solar and battery.

16           In the next slide, yeah, I think this again  
17 graphically highlights the limited sensitivity, the limited  
18 offshore wind and out-of-state sensitivity by resources.

19           And then in the final slide there, I think by  
20 numerical megawatt amounts. Again, much less out-of-state  
21 and offshore wind assumptions, more assumptions of other  
22 resources to sort of highlight transmission implications  
23 from that.

24           I think that concludes most of it.

25           Nathan, you want to add anything else?

1 MR. BARCIC: Nothing from me. Thanks for having  
2 us.

3 MS. JONES: Great. Thank you very much, David  
4 and Nathan.

5 And now Jeff Billinton from the California  
6 Independent System Operator will give a presentation.  
7 Thanks.

8 MR. BILLINTON: Thanks, Melissa. I'm assuming  
9 you can hear me. It's Jeff Billinton. I'm Director of  
10 Transmission Infrastructure Planning at the California ISO.

11 Do you want to go to the next slide, please? And  
12 the next one.

13 So as kind of as David notes, so kind of tagging  
14 on as David with the ISO's transition planning process,  
15 what we've studied in the cycles previous to the one we're  
16 currently under, and then kind of where we are in this  
17 year's transmission planning cycle and we'll go forward,  
18 the ISO conducts -- we conduct an annual tariff-based  
19 transmission planning process, and we're assessing the  
20 reliability, policy and economic driven transmission needs.  
21 Currently, the transmission plan horizon is ten years.  
22 What we're looking at in the future is to extending that  
23 possibly out, but the current transmission planning process  
24 is a ten-year basis.

25 And as David indicated, the key inputs that we

1 take into our transmission planning process is from the  
2 CEC, the load forecast, as well as the portfolios that we  
3 use to assess and use like in the base portfolio for one of  
4 the reliability or policy or economic-driven transmission.  
5 And then as David also indicated, we do some sensitivity  
6 studies and then we'll walk through some of those as we're  
7 going forward.

8           The other is in May of this year, the ISO, we  
9 undertook and we issued kind of the first 20-year  
10 transmission outlook. And this was based upon a portfolio  
11 that was provided through the CEC's SB 100 process with  
12 collaboration with the CEC and CPUC to develop that  
13 portfolio that we used as a starting point for that 20-year  
14 analysis. And it's really used -- being used to help kind  
15 of refine the resource planning, scope some of the  
16 challenges that we face, as well as to look into that  
17 longer term horizon while we're looking at the projects  
18 that we're approving in the ten-year horizon.

19           And as David indicated, the projects that are  
20 part of that base portfolio and process, if we're seeing  
21 those needs on that base portfolio, we recommend approval  
22 to our Board in the form of the transmission plan in the  
23 annual cycle and bring forward and subject to the board's  
24 approval then those proceed to development.

25           But in the ten -- 20-year outlook, if we're

1 looking at some of those alternatives that we're looking at  
2 in the near term, is there things as we look at those  
3 alternatives that we should be giving consideration in that  
4 longer term horizon? And in the last year's transmission  
5 plan there was two projects that were identified that way  
6 looking at what was needed in year ten or by year ten, but  
7 also as we look further, what alternatives would address  
8 those needs plus some of those longer term needs?

9           If you want to go to the next slide?

10           And so as we talked about, and then David talked  
11 about, we did in the 2021-2022, as a special -- or as a  
12 sensitivity portfolio and sensitivity studies, we looked at  
13 8.3 gigawatts analysis, and I'll show the breakdown again,  
14 as well as an outlook really looking at an additional 12  
15 gigawatt in the North Coast area. And then also in the 20-  
16 year outlook, we looked at and was identified in that  
17 starting point scenario, which is consistent with the SB  
18 100 was about ten gigawatt. And a lot of that analysis was  
19 based upon what we had done because they were done in  
20 parallel time period frames the 2021-2022 transmission  
21 planning process.

22           Next slide, please.

23           So this just gives a breakdown, and people are  
24 familiar with, we looked at, in that sensitivity, 1.6  
25 gigawatt in the Humboldt area, and at the time looking at



1 4.4 gigawatt in the Diablo Call Area potential, and 2.3  
2 gigawatt in the Morro Bay. And then as they indicated, we  
3 did an outlook assessment looking at larger. We didn't get  
4 into the detailed assessment that we did in that kind of  
5 base of the sensitivity. But we looked at an additional  
6 6.6 gigawatt in the Del Norte, so that's north of the  
7 Humboldt area, just kind of south of the California-Oregon  
8 border, as well as 6 gigawatt in the Cape Mendocino. And  
9 so that gave a total in that outlook we're looking at about  
10 21 gigawatt of offshore wind.

11 Next slide, please.

12 So as we look at the Central Coast area, and like  
13 I said, we had about 6.4 gigawatt in the portfolio from  
14 those two identified at the time call areas or potential  
15 call areas. And what the analysis indicated was in that  
16 Diablo 500 kV system, we could accommodate approximately  
17 5.3 gigawatt of renewables connecting to Diablo. And the  
18 assumption at this time of the studies was Diablo was  
19 retired, and so looking at 5.3 with Diablo's extension to  
20 2030, you're still looking at the area capacity could be in  
21 that 5.3, but with Diablo there, it would be about 3  
22 gigawatt of wind that could connect in that area.

23 And then beyond the 5.3 of resources connecting  
24 into that Diablo area, we would need additional  
25 transmission. And we looked at really three alternatives,

1 either building a new line, 500 kV line from Diablo to  
2 Gates, or looking at the sea cables that could go from  
3 Diablo down into the southern, in the L.A. Basin area, or  
4 an alternative of Diablo up to the Moss Landing area with a  
5 sea cable.

6           So that's for the Central Coast area. And what  
7 we looked at in the key point from there was that the 500  
8 existing system could accommodate about 5.3 gigawatt of  
9 generation in that area.

10           Next slide, please.

11           And then when we look at the North Coast and  
12 we're looking at Humboldt and Humboldt being in the area,  
13 it basically is 1.6 gigawatt, we looked at three  
14 alternatives, the first one being basically two 500 kV  
15 lines from Humboldt to a station called Fern Road that was  
16 approved in previous cycle for dynamic reactive support to  
17 be added to the bulk system. And so looking at 500 kV from  
18 Humboldt to there, approximately 120 miles.

19           And then what we found was, is with that, we'd  
20 also need further reinforcement of the 500 kV backbone that  
21 in a lot of ways goes down by the I-5 internally from Fern  
22 Road down to the Vaca-Dixon and Tesla (phonetic) area, so  
23 as part of that alternative of the lines coming in,  
24 reinforcement of the backbone as well.

25           If you go to the next slide?

1           This one, for an alternative, we really looked at  
2 kind of a sea cable coming from Humboldt, using basically  
3 HVDC-VSC, which would be voltage source converters, and  
4 looking at that, bringing DC from Humboldt down into the  
5 San Francisco and the other greater Bay Area, and then  
6 looking from that Bay Area to transmit that to stations  
7 within the greater Bay Area in the load center areas.

8           And if you go to the next slide?

9           Then the third alternative that we looked at was  
10 looking at, basically, an HVDC bi-pole using classic or the  
11 LLC-type technology for the high voltage -- or for the  
12 HVDC, and that bringing -- could be overland, could be  
13 undersea cable from the Humboldt area down into the  
14 Collinsville substation, and this is one of the substations  
15 that we approved last year. One is we're looking in the  
16 future this way, but also for other needs that were  
17 identified in last year's transmission plan but bringing  
18 that down to the northern portion or kind of the north  
19 portion of the greater Bay Area.

20           If you go to the next slide?

21           When we looked at the outlook type and the  
22 outlook scenario, it was really about 14.4 gigawatts of  
23 offshore wind in the North Coast area, and as indicated,  
24 that would be really from the Humboldt area, the Del Norte  
25 north, and the Cape Mendocino area south of Humboldt. And

1 to look at the capacity that's needed, this, when we're  
2 looking at it, is we're really looking at -- we're probably  
3 looking at a hybrid-type combination of transmission to get  
4 the power from the North Coast area to the load centers and  
5 integrating that within the California ISO system. And so  
6 we're looking that you would need the two, basically, two  
7 500-gigawatt DC lines, like what we had in the one  
8 alternative. You would need two HVDC classics in size,  
9 which are about 3 gigawatts each for each bi-pole, as well  
10 as you'd need about two VSC-HVDC lines, which would be in  
11 the about 2,000 megawatts each.

12 And so to get 14-gigawatt out of that area, there  
13 is significant transmission that would be needed to bring  
14 it to the load centers, as well as to integrate it into the  
15 ISO bulk electric system.

16 Next slide, please.

17 And then as I indicated, we undertook this year  
18 to do, or as of last year and this year, to undertake -- to  
19 do the first 20-year transmission outlook, and the link is  
20 there. It was finalized and posted on May 22nd at the  
21 following location.

22 If you go to the next slide, please?

23 This is an indication, again, similar to the map  
24 and what we looked at, in that starting point scenario that  
25 was docketed in the SB 100 and provided to the ISO for this

1 20-year outlook and, like I say, was developed in  
2 collaboration with the CEC and the CPUC. We're looking at  
3 a 10-gigawatt type scenario and looking at, say, 4-gigawatt  
4 in the north from the northern area and about 6-gigawatt in  
5 the Central Coast.

6 And as we recognize, and then the discussions as  
7 we're going forward, there's the two current call areas in  
8 the Morro Bay and Humboldt area that BOEM is going through  
9 the process. And on December 6th the lease auctions will  
10 be occurring. And so this is what -- we're looking at it,  
11 this scenario, for the 20-year outlook.

12 If you go to the next slide?

13 So in the south, really, as we looked at it, as  
14 we looked at kind of the larger, there's -- and how we  
15 would interconnect in the Central Coast, we looked at it in  
16 terms of two potential interconnection points. And with  
17 the 6-gigawatt, you would need kind of the two as we're  
18 looking at it, either connecting into the Diablo substation  
19 or into the Morro Bay area and having to create a new 500  
20 kV gigawatt kind of interconnection into that line between  
21 Diablo and Gates.

22 And so as we look at those different  
23 alternatives, if we're looking at Morro Bay, the limit  
24 would be around the 3,000. So if it was expanding, it, by  
25 itself, couldn't increase or couldn't incorporate more

1 because you're looking at a single line between Diablo and  
2 Gates. Whereas if the megawatts are connecting into the  
3 Diablo area, you've got three lines coming out of that  
4 substation and capabilities, and working with PG&E, the  
5 potential of interconnecting into Diablo with expansion of  
6 the Diablo 500 kV while the Diablo nuclear power plant is  
7 operating and being able to get cables up to there.

8 So that's in the south as we look at it.

9 And in the north, really, what we look at is  
10 we're looking at 4-gigawatt is that there's a need for  
11 basically two of the alternatives that we've identified in  
12 the 2021 transmission planning process, as well as there's  
13 a need to integrate and interconnect between the two. And  
14 this is a key point as we look at for the northern coast,  
15 as we look at, one, deciding what is a preferred  
16 alternative for Diablo and, two, the longer term. And  
17 needs that we have, need some of that sequencing of after  
18 Diablo, what would come next and where and how?

19 And that's one of the things as we're looking at  
20 what would be a preferred alternative for the Humboldt  
21 area? And as you look at it, it's 1.6 and it's in the  
22 middle between the Del Norte or the Del Norte or the Cape  
23 Mendocino, which are the larger of the Call Areas potential  
24 for what megawatts could be from those areas.

25 And so as we look at Humboldt, what is the

1 preferred alternative that would meet the needs of Humboldt  
2 at the 1.6, 2-gigawatt range? But then what would be  
3 needed in the longer term and so that whatever we're  
4 choosing fits into that longer term development of the  
5 expanded capacity for the potential in the North Coast, or  
6 also, in terms of if in that area it stalls and it's  
7 deferred longer, that alternative can stand alone by  
8 itself, interconnecting the wind into the ISO's system in a  
9 reliable and operating fashion?

10           So that's kind of as you're looking at it, but we  
11 identified, really, that you would need for, in the 20-year  
12 outlook for around the 4-gigawatt, you would need  
13 approximately two of those alternatives that we're looking  
14 at, plus interconnecting them so that they're not just  
15 radial and they're integrated together.

16           And the other thing is, too, as we look forward  
17 in the longer term is, is there a potential, if there's  
18 development of offshore wind towards the Oregon area, is  
19 there a potential of interconnecting which then makes a  
20 parallel DC type path, parallel to the existing AC path in  
21 the central portions of the border of Oregon and California  
22 as the backbone of the system?

23           And then as we look at it, as well, is there,  
24 with those Call Areas, any potential of an offshore-type  
25 grid? And as we look at that, some of this is the depth

1 and floating platform substations and technology where  
2 those are the things that will need to be looked at.

3 So that's, as we go to the next slide, that's  
4 really what we had looked at in the 20-year outlook.

5 And then as we move to the 2022-2023 transmission  
6 planning process that we're currently in, this slide, and  
7 this just really indicates the same as what David had  
8 talked about, but as we're looking at the load forecast,  
9 you can see year over year the loads have been increasing.  
10 The green line really was, effectively, earlier what was  
11 adopted by the CEC as their baseline forecast for the 2021  
12 IEPR.

13 In July, as we worked through it, working with  
14 the CEC, as well as CPUC, like David indicated, the CEC  
15 adopted a scenario of a high transportation. And that's  
16 actually what we're using as the baseline in our  
17 transmission planning process for this year's cycle, as  
18 well as, as David indicated, that's a driver for the  
19 2022 -- or 2023-2024 -- IEPR and the portfolios that are  
20 used. So the load has been increasing.

21 And as David indicated, the generation portfolios  
22 that we have, have been increasing from the 2022 10  
23 gigawatts. 2021, which was approved by our board in March  
24 had about 27 gigawatts in an over ten-year period. The  
25 current planning process has 40 with the sensitivity that



1 David indicated as to 86 gigawatts. And then, like he  
2 said, indicating in terms of in the 2033 and the 2035 time  
3 period for the portfolio that is very similar to the draft  
4 and proposed for next year's transmission plan. And then  
5 the 20-year outlook had 120 gigawatts in it over the 20-  
6 year period.

7           And as you look, as we're getting to,  
8 particularly, this year's sensitivity and next year's,  
9 we're getting on that kind of path now of really looking at  
10 somewhere in the 7 gigawatt per year of interconnection  
11 resources that are required to get to that requirement.  
12 And also, then, continues on, so it's not like earlier with  
13 the near term. And then to get to 2040, we're on that path  
14 now of identifying what is needed for resources and then  
15 for ourselves, identifying what transmission is needed on  
16 that path to the 20-year timeframe, or 2040, with 120  
17 gigawatts.

18           And if you go to the next slide?

19           This really just summarizes the same as what we  
20 had. It just shows the mix of the resources, similar to  
21 what David's graphs have, and shows, really, as we look at  
22 this year's portfolio with 40 gigawatt there is 1,700  
23 megawatts, the majority of it in the base portfolio. The  
24 majority of that is in the Morro Bay area, but there is --  
25 and I believe it's about 120 megawatts in the Humboldt

1 area, not as a resource adequacy or deliverability, but as  
2 an energy-only being assessed in this year's cycle.

3 And then as we look at the sensitivity portfolio,  
4 that increasing the offshore wind, as David indicated, as  
5 well as the out-of-state and resources all along, and how  
6 that transitions to really what kinds of portfolios as we  
7 get to the 2040 timeframe to meet the state goals.

8 And so as we're going through it -- so we'll be  
9 doing the -- we're doing the base portfolio for 2032 as  
10 part of our studies. And if we identify transmission needs  
11 that are associated with that, those would be projects as  
12 policy, or if they were reliability needs, but a lot of  
13 this will be based upon the policy needs of what  
14 transmission are policy-driven that we would need to take  
15 to our Board for approval.

16 And in addition, we're doing the sensitivity  
17 study for 2035 based upon the portfolio that's identified  
18 here. And we'll look through as to is there anything -- is  
19 there potential of needs that we're seeing in that near-  
20 term that we may want to be approving to look into the  
21 longer term, as well.

22 And so that's where we are right now.

23 If you go to the next slide?

24 We're at the stage right now, we did our  
25 reliability analysis. We provided the results to

1 stakeholders on August 15th. We had a stakeholder meeting  
2 on September 27th and 28th on the reliability needs and  
3 have taken comments on those. And we'll be having a  
4 stakeholder meeting November 17th, so a week from today,  
5 looking at the preliminary policy and economic results  
6 based upon the base portfolio, as well as what we're seeing  
7 in the sensitivity study. And so we'll be presenting those  
8 results on November 17th, like I said, a week from now.  
9 The market notice for the meeting has gone out today, so  
10 you can find that on the ISO's daily briefings in that  
11 market notice if you're not subscribed to our -- those  
12 briefings.

13           So that's kind of where we are right now in the  
14 process. Like I say, we'll be presenting the results of  
15 that analysis, the preliminary results of both the policy  
16 and economic study assessments based upon those portfolios,  
17 like I say, the base and the 2035 sensitivity, on next  
18 Thursday on November 17th.

19           So I think that concludes what I've got for  
20 presentation, and then we can move on. And this is just my  
21 contact information if need be.

22           MS. JONES: Great. Thank you so much, Jeff, and  
23 sorry for mispronouncing your name.

24           At this point, we're going to take --

25           MR. BILLINTON: No worries.

1 MS. JONES: Okay. At this point, we're going to  
2 take a five-minute break, so let's say we're back at 2:05.  
3 Thanks very much.

4 (Off the record at 1:59 p.m.)

5 (On the record at 2:05 p.m.)

6 MS. JONES: Alright, welcome back, everyone.

7 We are now going to move on to our next  
8 presentations. First, we're going to have Arne Jacobson,  
9 and from the Schatz Energy Research Center, who will  
10 present on a number of their studies. Also, Jim Zoellick  
11 will be joining him.

12 So go ahead and start, Arne. Thanks.

13 MR. JACOBSON: Thank you very much. Pleasure to  
14 be here as part of the session.

15 Maybe if you could advance?

16 So one of the things that we'll focus on in our  
17 presentation is a study that we're just at the beginning  
18 of, which is looking at transmission requirements in  
19 relationship to the potential for offshore wind development  
20 at a fairly large scale in Northern California and Southern  
21 Oregon, and looking at that, a number of those options,  
22 together as a grouping. And so we'll spend a little bit of  
23 time talking about introducing that very briefly, then  
24 spend a bit of time talking about how that builds on some  
25 prior work, and then return to a focus on this particular

1 study and the scope and some notes related to scenarios  
2 that we're setting up for it. And as noted, I'll be  
3 presenting directly with my colleague, Jim Zoellick.

4 Next slide.

5 So this current study that we're working on is  
6 based on a contract that we have with the California Energy  
7 Commission. And it involves collaboration between the  
8 California Energy Commission, the Oregon Department of  
9 Energy, and the U.S. Department of Defense. And in terms  
10 of the project team, on our side, the Schatz Energy  
11 Research Center at California State Polytechnic University  
12 at Humboldt, or Cal Poly Humboldt, is the lead. And we're  
13 working very closely with partners, including Quanta  
14 Technology, the National Renewable Energy Laboratory, Mott  
15 MacDonald Engineering, H.T. Harvey & Associates, and  
16 Conaway Geomatics. And really pleased to be working with  
17 such a talented team.

18 Next slide. And maybe advance one more as well?

19 So I think it probably goes without saying that  
20 part of the motivation here is the very large wind resource  
21 on the North Coast of California and the Southern Oregon  
22 coast and the potential that both of these regions have to  
23 contribute to climate and clean energy goals in the  
24 respective states.

25 Next slide or advance.

1           The transmission capacity is a significant  
2 barrier for offshore wind development in these regions.  
3 And so we're interested in understanding what the  
4 parameters and possibilities are here.

5           Next slide.

6           So the objective of this particular analysis is  
7 to assess alternatives for transmission for multiple large  
8 scale offshore wind development scenarios involving sites  
9 between Coos Bay and Cape Mendocino. The three areas that  
10 are shown here include the Humboldt Wind Energy Area, which  
11 is, of course, proceeding to a lease auction early next  
12 month, as well as the Brookings and Coos Bay areas that  
13 have been identified by BOEM, but are in an earlier stage  
14 in the possible leasing process.

15          Next.

16          We'll also end up considering the possibility of  
17 offshore wind in additional areas, primarily looking at the  
18 area offshore from Del Norte County, as well as offshore  
19 from Cape Mendocino. There aren't defined areas or  
20 officially defined areas there and the rules of action  
21 there are just indicative, not based on any particular  
22 analysis. But we are in the process of working to define  
23 what wind farms could look like in those areas as we  
24 consider scenarios.

25          Next. And one more. Yeah.

1           So this work will build on prior analysis by our  
2 team, as well as by others.

3           If you could advance maybe twice?

4           So one of the things that we'll be looking on  
5 is -- or building on is the analyses that have been done  
6 related to the Humboldt Wind Energy Area, including two  
7 separate studies, one by the Schatz Center, jointly with  
8 Pacific Gas and Electric, which involved results that were  
9 published in 2020 and 2021, as well as the California ISO  
10 studies that Jeff just -- Jeff Billinton just mentioned.  
11 Those studies looked at a full buildout of the Humboldt  
12 Wind Energy Area with installed capacity on the order of  
13 1.6 to 1.8 gigawatts and ended up with a range of estimated  
14 costs. And I'll talk a little bit more about those studies  
15 subsequently.

16           Following that, our team, working together with  
17 Quanta Technology and NREL, carried out a study to try and  
18 understand the potential for initial development of  
19 offshore wind in the Humboldt Wind Energy Area, trying to  
20 work within the existing transmission infrastructure, just  
21 with the idea that transmission upgrades could take some  
22 time to materialize and wind developers may be looking to  
23 do something in the interim to get started.

24           And so that work indicated that something on the  
25 order of 150 megawatts of offshore wind capacity could be

1 developed without upgrades in the Humboldt Wind Energy  
2 Area. That result is somewhat sensitive to assumptions  
3 about load growth and a few other things, but something on  
4 that order.

5           Next slide or next advance.

6           In addition, we'll be drawing from some studies  
7 that have taken place or are underway in relationship to  
8 offshore wind development on the Oregon Coast. And they're  
9 primarily looking at work by Pacific Northwest National Lab  
10 and NREL. And some of the work that's been done to date  
11 indicates that something on the order of 2 to 3 gigawatts  
12 of offshore wind could be interconnected along the Oregon  
13 Coast without significant upgrades to transmission  
14 infrastructure.

15           Next slide.

16           So as has been mentioned, BOEM is holding a lease  
17 auction on December 6th, which will include the Humboldt  
18 Wind Energy Area, as well as the Morro Bay Area. And  
19 various estimates have indicated that a full buildout could  
20 be something on the order of 1.6 to 1.8 gigawatts. The  
21 area is divided into two lease blocks, and so that would be  
22 two different developers, the installed capacity for two  
23 different developers combined, if it were to reach that  
24 full upper bound.

25           Next slide.



1           As we've noted, transmission capacity is quite  
2 limited. And the terrain along the existing transmission  
3 routes is fairly rugged.

4           Next slide.

5           So this slide shows the transmission  
6 infrastructure in the region. I wouldn't say that Humboldt  
7 County is an energy island, but more something of an energy  
8 peninsula in terms of having very limited connections  
9 currently to California's main grid.

10           Maybe you could advance two or three?

11           The regional load is concentrated in the Humboldt  
12 Bay Area and the average load is on the order of about 100  
13 megawatts. Local generation is needed to power -- to  
14 supply power in the region. And there's -- the primary  
15 role for supporting load in the region or for ensuring  
16 stable operation of the grid in the region falls to a 163-  
17 megawatt natural gas-fired power plant, which is the  
18 Humboldt Bay Generating Station. And there are additional  
19 generating sources in the region, including some biomass  
20 plants and a few small hydropower plants, but the natural  
21 gas plant plays that primary role.

22           Next.

23           And, of course, the major transmission corridor  
24 is run north-south in the Central Valley, fairly far  
25 inland.

1           Next slide.

2           So that setup can be represented graphically, as  
3 is shown here. And so the two main transmission lines that  
4 currently connect the Humboldt region to the main  
5 transmission corridors are redundant 115 kilovolt lines,  
6 one running roughly along the Highway 299 corridor and one  
7 running roughly along the Highway 36 corridor. And then  
8 there's two additional 60 kilovolt lines, which are mainly  
9 there to support communities along the way.

10           Next slide. So maybe you can advance two more?

11           So in terms of looking at a full build out, as I  
12 mentioned in 2020, PG&E and the Schatz Energy Research  
13 Center identified several overland and undersea  
14 transmission alternatives. We were looking at an estimated  
15 1.8 gigawatts of installed capacity in the Humboldt Wind  
16 Energy Area. And the California ISO conducted a fairly  
17 similar -- or a study with a fairly similar set of  
18 assumptions. They assumed a 1.6 gigawatt of installed  
19 capacity in the Humboldt Wind Energy Area. And the cost  
20 estimates for transmission upgrades for those two scenarios  
21 were, or under those two studies, were fairly similar.

22           Next slide. And maybe advance? Yeah. Thank  
23 you.

24           So for the PG&E and Schatz Center study, assuming  
25 1.8 gigawatts of installed capacity, we looked at four

1 different transmission alternatives. One was an  
2 alternative that involved an overland route initially to  
3 the east and then to the south, connecting through the  
4 Round Mountain substation and then eventually down to the  
5 Vaca-Dixon substation. We also looked at a route that we  
6 called the southern route, but it essentially followed a  
7 south-eastern route that would find its way down to the  
8 Vaca-Dixon substation as well. These are, of course, not  
9 exact routes. They're basically just lines drawn between  
10 points.

11 In addition to those two overland routes, we  
12 looked at two undersea cable routes. One was a near-to-  
13 shore route and one was a far-from-shore route. And the  
14 estimated cost for upgrades for those various alternatives  
15 are shown here. So we are looking at costs on the order of  
16 \$1.7 billion to \$4.4 billion, with the somewhat higher  
17 costs associated with the undersea cable route.

18 Next slide.

19 Just talking a little bit more about the undersea  
20 cable alternatives that were studied, we, of course, looked  
21 at the near-to-shore and far-from-shore. In doing those  
22 analyses, we considered technical, environmental, and  
23 geologic constraints. This work was done in partnership  
24 with Mott MacDonald Engineering. The areas that are shown  
25 in black on the map were essentially no-go areas for

1 undersea cable. Those are primarily subsea canyons that  
2 need to be avoided both for geophysical and also for  
3 ecological reasons.

4 In addition, there were areas where major  
5 mitigation would be required, those are shown in red, and  
6 those primarily correspond to marine protected areas. The  
7 red lines also correspond to existing subsea cables,  
8 primarily telecommunication cables.

9 Not shown in this analysis, because they weren't  
10 there at that time, are some additional fiber optic  
11 telecommunication cables that now come into Humboldt Bay.  
12 Those were installed more recently than this analysis and  
13 would also have to be considered in relationship to  
14 developing any undersea cable routes.

15 And so the routes that were -- or the corridors  
16 that were identified here were developed to minimize the  
17 amount of mitigation that would be required. And, I guess,  
18 in looking at those routes or thinking about those routes,  
19 the near-to-shore routes, I think, are -- involve  
20 challenges associated with the canyons themselves and  
21 avoiding those canyons, as well as the marine protected  
22 areas. The far-from-shore route avoids some of those  
23 challenges but ends up involving subsea cables in very,  
24 very deep water on the order of 3,000 meters for segments  
25 of that route.

1           Next slide. And maybe I'll advance two more, and  
2 maybe one more after that?

3           So I'll just summarize this quite quickly because  
4 Jeff Billinton just presented on this, but just noting that  
5 the California ISO conducted an analysis for a somewhat  
6 similar set of scenarios and ended up with estimated cost  
7 ranging from \$1.2 billion to \$3 billion for the 1.6  
8 gigawatts of installed capacity in the Humboldt wind energy  
9 area, so somewhat similar cost to the prior study that we  
10 did with PG&E.

11           Next slide.

12           So those analyses were looking at, a full build  
13 out of the Humboldt wind energy area. We, as I mentioned,  
14 also conducted analysis related to identifying options for  
15 developing offshore wind within the bounds of the existing  
16 transmission infrastructure, or with just modest  
17 investments and upgrades, to try and understand the  
18 economics, both the cost and the revenue associated with  
19 those sorts of options. And this is work that was done  
20 jointly with Quanta Technology and NREL.

21           Advance.

22           So we analyzed transmission requirements for  
23 multiple offshore wind development scenarios in the  
24 Humboldt Wind Energy Area with wind farms up to about 500  
25 megawatts.

1           And advance. And maybe two -- maybe one more?

2   Yeah.

3           And so we ended up conducting revenue analysis  
4 for selected scenarios within that, as well as assessing  
5 the wind farm economics.

6           Next slide.

7           And so in terms of conclusions -- if you could  
8 maybe advance all the way down to the bottom there? Yeah.

9           The, I think, main conclusions coming out of the  
10 assessment of the small -- the study of a small potential  
11 project is that a small project can be built without  
12 transmission upgrades if it's interconnected on an energy-  
13 only basis rather than on a full deliverability basis.  
14 Going beyond an initial project would require fairly  
15 significant investments in transmission infrastructure.

16           The recommended size for an initial project might  
17 be on the order of 140 to 150 megawatts. This result does  
18 end up being sensitive to assumptions about load growth, as  
19 well as about other generators that might be present in the  
20 region over the coming -- over the period between now and  
21 when the system is installed.

22           The economics of developing that kind of a  
23 project of that scale are challenging, especially in the  
24 absence of federal tax incentives. This analysis was done  
25 before the Inflation Reduction Act was passed, and that

1 certainly addresses some of the concerns, but the project  
2 economics are nonetheless going to be challenging for a  
3 project of that size. Adding storage can help improve  
4 project economics.

5 We also looked at a very preliminary way at  
6 hydrogen generation from curtailed or low-cost power. And  
7 there may be some applications where that could be  
8 potentially viable, as well, at the -- for a project of  
9 relatively small scale. But our sense or our assessment  
10 was that because of the challenging economics, developers  
11 are -- perhaps may be interested to develop this type of a  
12 project, but as a starting point for scaling to something  
13 larger in the anticipation of transmission solutions coming  
14 into play in subsequent years, in the not-too-distant  
15 future.

16 Next.

17 And so I now want to pass things over to my  
18 colleague, Jim Zoellick, to talk a bit about the current  
19 study that we're undertaking and some of the parameters  
20 associated with that one.

21 So take it away, Jim.

22 MR. ZOELLICK: Great. Thank you, Arne. Can you  
23 hear me okay?

24 MR. JACOBSON: Good.

25 MR. ZOELLICK: Thank you. So, yeah, I'm going to

1 cover the next five slides here that will complete our  
2 presentation and just go a little bit into more detail, not  
3 a whole lot, but a bit more detail about the objectives and  
4 scope of our current study.

5           So the first two slides here really kind of  
6 reiterate what Arne said at the start of our presentation.  
7 So we'll be examining an array of transmission alternatives  
8 for large-scale offshore wind development, basically from  
9 the Cape Mendocino area to the south, which is kind of the  
10 bottom of the map that you're seeing there, and then as far  
11 north as the Coos Bay Call Area in Southern Oregon, so  
12 covering both Northern California and Southern Oregon. And  
13 we'll be looking at the offshore wind development from,  
14 primarily, five areas offshore, the Humboldt Wind Energy  
15 Area, which the auction, as people have talked about, is in  
16 about a month, December 6th, and then the two call areas  
17 that have been defined by BOEM, the Brookings Call Area and  
18 the Coos Bay Call Area.

19           And then if you can go to the next slide, please?

20           And then also, as Arne mentioned, these two  
21 hypothetical call areas, well, I guess they're not call  
22 areas yet but sort of notional areas off of Del Norte  
23 County in Northern California, so that's the one just south  
24 of the Brookings Call Area, and then further south, the  
25 Cape Mendocino area, and those areas being some of the best



1 wind resource, but certainly for Cape Mendocino being some  
2 of the most remote as well.

3           And we will be working with the team at the CEC,  
4 Scott Flint and others that are working on the seaspace  
5 analysis, in particular, for those two hypothetical areas.  
6 The others are already sort of defined in terms of their  
7 geographic location, but the Cape Mendocino and Del Norte  
8 are not. And I know the work that Scott and his team are  
9 doing is really trying to look at a bit of definition for  
10 those two areas. So we'll be working with them and kind of  
11 taking their lead, probably, for the what we -- you know,  
12 the assumptions we make when we're looking at offshore  
13 development in those two locations.

14           Next slide, please.

15           So also as Arne talked about, and his focus was a  
16 bit more just on the Humboldt, you know, Humboldt Bay area  
17 and the Humboldt Wind Energy Area, but really for this  
18 study that we're embarking on right now, so looking at  
19 Northern California and Southern Oregon, it's the same  
20 story along the coast. There's a little more transmission  
21 infrastructure in Oregon, but really, as this map shows,  
22 the major transmission infrastructure runs north and south  
23 along the I-5 corridor, or largely and even a little bit  
24 further inland.

25           So the map there on the right is basically

1 showing those two call areas and the Humboldt Wind Energy  
2 Area, and then existing transmission infrastructure. The  
3 color of the lines is the transmission line ownership,  
4 though I think there may be some slight adjustments there  
5 to be made.

6           And then the size of the lines is indicative of  
7 the voltage, and therefore the capacity of those lines. So  
8 the smallest sort of thinnest lines, it looks, primarily,  
9 in blue and red there, and maybe some purple, are as small  
10 as 50 to 60 kV and 115 kV, a little bit fatter. And then  
11 the biggest ones going up to 500 volts AC. And that real  
12 fat line to the far right there, I believe, is the Pacific  
13 DC intertie that is this high voltage DC line coming down  
14 from Bonneville.

15           So, yeah, so, you know, the real -- I think one  
16 of the real challenges here is how do we interconnect this  
17 very substantial offshore wind resource, you know, aiming  
18 toward the 25 gigawatts by 2045 that's part of California's  
19 policy goals? How do we get that to the load setters?

20           And as Arne mentioned for Humboldt, the load is  
21 really quite modest, and that's the case along the entire  
22 coastline, which explains why the transmission  
23 infrastructure is so modest. You know, its basically the  
24 main power flow is up and down that I-5 corridor, and then  
25 these smaller lines feed the modest load on the coast. The

1 system was not designed to, you know, access coastal  
2 resources and shift that power into the main transmission  
3 backbone and then on to the load centers.

4           So that's really, you know, the focus of this  
5 study, and I'll say a little bit more about a few of the  
6 other aspects, but really the focus is on transmission and  
7 looking at a set of alternatives and, as Arne said, a set  
8 of alternatives that's an integrated approach to developing  
9 offshore wind at scale from Cape Mendocino all the way up  
10 to Coos Bay. I think that's about it for that one.

11           Next slide, please. Great. And you can -- if  
12 you can kind of -- there, perfect. Thank you.

13           So this just goes a little bit deeper, this slide  
14 and the next, into our scope of work and the tasks that we  
15 will be completing. This is going to be a pretty fast  
16 study. One of the main -- sort of impetus for this, not in  
17 its entirety but a big impetus, is to develop this  
18 information of looking at these various alternatives as  
19 input to the AB 525 Strategic Plan, which is due in June.  
20 So we're looking to get this study done, you know, the  
21 results of this prior to that June deadline. I think our  
22 final report is due in July, but really the results of our  
23 study are aiming for prior to the deadline for the 525  
24 Strategic Plan.

25           And so, you know, we're trying to accomplish a

1 fair amount in a short period of time. We're just getting  
2 started. We just got ourselves and our subcontractors  
3 under contract and had our kickoff meeting very recently.  
4 So we're just ramping up. We're, essentially, in tasks one  
5 and two at the moment. We're compiling and assembling all  
6 the data we'll need, generation, transmission,  
7 infrastructure, energy storage, electrical loads. Quanta  
8 Technology will be doing the transmission analysis. It's  
9 talked about there in -- under number three, power flow and  
10 production cost analysis. They'll be accessing the WECC  
11 Anchor Data Set for this study. And so right now we're  
12 assembling that data.

13           We're also gathering existing studies. So, you  
14 know, I know Jeff Billinton talked about the transmission  
15 planning study that CAISO had done. Pacific Northwest  
16 National Labs has done some work and is doing work  
17 currently that's kind of in parallel with what we're doing.  
18 NREL is also on our team and has done some previous work,  
19 just in the process of getting a BPA cluster study.

20           So we're trying to, you know, pull together all  
21 of the work that's been done to date so that we can build  
22 on what's been done and not duplicate it unless we decide  
23 there's a good reason to do so. And yeah, so, you know,  
24 we'll be putting this information together. We'll be  
25 developing maps to -- you know, for presentations and

1 reporting and so forth, but also all of the data that we  
2 gather on existing infrastructure, as well as any proposed,  
3 you know, for instance, if there was a new proposed  
4 transmission route or an upgrade to it on an existing  
5 route, perhaps an expansion of a right-of-way, that sort of  
6 thing, all of that kind of information will be in GIS  
7 format and part of our scope is to provide that to the  
8 California Energy Commission.

9           And then my understanding, and folks at the  
10 Commission could clarify this, but is that that will be  
11 made available through the Offshore Wind Gateway and Data  
12 Basin, and so that work is in process.

13           Really the next thing, once we've got the  
14 baseline data in place, is to start to develop what the  
15 scenarios are that we'll be able to evaluate. And  
16 obviously, they're limited based on scope and budget, and  
17 especially timeline. But we'll be looking at a range  
18 probably between about 5 to 25 gigawatts. Likely, at least  
19 what we've discussed so far with our Core Steering Group,  
20 is likely focusing on that, on the mid-range there,  
21 probably 10 to 15 gigawatts.

22           We'll be looking at offshore wind development  
23 from any of those five offshore wind areas and/or  
24 combinations of those five areas at various scales. We'll  
25 be looking at undersea cable routes, undersea cable, you

1 know, sort of backbones that tie multiple areas together  
2 and then perhaps, you know, a single onshore cable landing,  
3 or perhaps multiple onshore cable landings. We'll be  
4 looking at various overland transmission routes, as well as  
5 perhaps undersea cable route, too, such as -- that was  
6 discussed, that was looked at in a previous study for us  
7 and CAISO, as well, down to the San Francisco Bay Area or  
8 could be in some other direction, perhaps, as well. So,  
9 you know, we'll be working to define what those scenarios  
10 are based on because the work has been done to date and  
11 what people think is the most important options to look at.

12           And then Quanta will be doing the power flow  
13 analysis to determine what upgrades are needed over the  
14 existing system and what the cost of those upgrades would  
15 be. And then probably with a down select from ten  
16 scenarios for the power flow, we'll be looking at  
17 production cost analysis for six to seven, which will  
18 provide some additional information in terms of, you know,  
19 an 8760 (phonetic) look at the resource and the load  
20 profiles and constraints on the system and perhaps the need  
21 to curtail the resource and how that might impact wind farm  
22 revenue. And then that production cost analysis also will  
23 develop -- will provide, you know, sort of economic  
24 benefit, revenue potential from these developments.

25           And then our partners at NREL are developing the

1 offshore wind development and operational costs for the  
2 cost analysis. And then they will also be taking all the  
3 costs and the revenues and looking at the levelized cost of  
4 energy and sort of doing some cost benefit analysis.

5 Next slide, please. Great. Thank you.

6 And so this is our last slide, other than our  
7 contact information.

8 So I mentioned there, you know, that the focus is  
9 on the transmission assessment. But, you know, we wanted  
10 to make it clear that we're not -- that that's not being  
11 done in a vacuum or being done without acknowledgement and,  
12 you know, adjustment for many -- the many other issues that  
13 need to be considered when we're talking about the  
14 development of these resources and how we interconnect them  
15 into our existing infrastructure and where new  
16 infrastructure may be located, et cetera.

17 So certainly -- and I know, you know, the folks  
18 at the CEC doing the seaspace analysis and probably other  
19 aspects as well, transmission and so forth, you know,  
20 looking at things like existing uses, whether it's of the  
21 ocean areas or the overland areas and, you know, so  
22 conflicts with existing uses, concerns from local  
23 communities, environmental considerations, you know,  
24 certainly, obviously, things like, you know, marine  
25 protected areas, national parks, areas with endangered

1 species, all those sorts of things, it'll be a high level.  
2 This will be based on, you know, existing information from  
3 existing studies.

4 A couple of other partners are H.T. Harvey and  
5 Associates, and they'll be doing the permitting and  
6 environmental sort of review of these various scenarios,  
7 again, at a very high level.

8 And then Mott McDonald is going to be looking at  
9 some of the undersea options, and so providing, you know,  
10 more information about potential conflicts, potential  
11 issues, which may influence both what scenarios we choose  
12 to evaluate through the transmission analysis, you know,  
13 task, or what the final recommendations are based on both  
14 the cost and benefit analysis for the transmission analysis  
15 but also these other, you know, constraints and things that  
16 need to be considered that go beyond just the pure sort of  
17 physics of the wind power and the wind energy market.

18 And also, certainly, part of what another big  
19 piece of this is military mission compatibility. And, you  
20 know, I think largely, part of what motivated this study of  
21 the focus on Northern California and Southern Oregon, in  
22 part due to the to the vast resource available here, but  
23 also the fact that there are a lot of issues with regard to  
24 DoD operations from Central California and Southern  
25 California for development of resource in those locations.



1           So, yeah, you know, our anticipated timeline is  
2 some preliminary results by even late March into April, and  
3 then sort of final results probably late May-June, with a  
4 final report by July of next year.

5           And that's all we had for you, but I'm sure we're  
6 able to answer questions at the appropriate time. Thank  
7 you.

8           MS. JONES: Thank you very much, Jim and Arne.

9           We are now going to move on to our next  
10 presenter, who is Jeppe Lundbaek from the Danish Energy  
11 Agency. He and Peter Markussen from Energinet will be  
12 speaking about experience in Denmark with transmission.

13           MR. LUNDBAEK: Thank you very much for this kind  
14 introduction. And, also, thank you very much for being  
15 part of this very interesting session today. I'm Chief  
16 Advisor at the Danish Energy Agency. And I'm presenting  
17 here on some Danish lessons learned on grid connection  
18 related to offshore wind farms. And I'm doing that because  
19 we collaborate internationally with a number of countries,  
20 one of them being the U.S., where we have partnerships with  
21 BOEM and California Energy Commission and some other  
22 partners.

23           And also I would say that I have been working for  
24 the last five years on the offshore wind farm, which is the  
25 latest tender in Denmark. So through this presentation

1 here, I hope I'll be able to give a little bit of an idea  
2 of how we work in Denmark on what I would call a planned  
3 transmission or integrated transmission. So it's a setup  
4 where we really tie in how we work with offshore wind farm  
5 planning and transmission. And that's also why my  
6 colleague Peter Markussen from Energinet, the Danish GSO,  
7 will present immediately afterwards.

8           Next slide, please.

9           So if I can first give you an idea of how we work  
10 in Denmark and where I come from?

11           As you can see here, the organization is so that  
12 we have nine centers at the Danish Energy Agency. It's  
13 actually sort of a combination of what BOEM is doing and  
14 what the CEC here in California is doing. And it also  
15 needs to be explained that in Denmark we have a more simple  
16 setup for offshore wind than in the U.S. We have what we  
17 call a one-stage tender model, where, in the U.S., you have  
18 a two-stage model, similar to the one in the U.K., where  
19 you first need to win a lease right from BOEM at federal  
20 level, and then you get a PPA offtake at state level at a  
21 later stage.

22           This is something we do in one stage in Denmark.  
23 And that's done through the Danish Energy Agency, which is  
24 a government agency under the Ministry of Climate, Energy  
25 and Utilities.

1           So, basically, the responsibility of my agency is  
2 doing most of the things that BOEM and the CEC is doing.  
3 So we do the regulation on offshore wind, maritime spatial  
4 planning, site selection, solicitation of tenders or  
5 solicitations of offshore wind farms, and permitting, also,  
6 of the wind farms. And then what we were talking about  
7 today, we do grid planning of offshore wind farms in a  
8 close tie together with the TSO. We are about 800 people  
9 working at the Danish Energy Agency, and the TSO has an  
10 even larger organization.

11           Next slide, please.

12           Just to give a little bit of background to some  
13 of the listeners here that are maybe not so familiar with  
14 Denmark, I'll just briefly give you an introduction to the  
15 Danish Energy and Climate Policy targets.

16           So what you see here on this slide is, first of  
17 all, that Denmark is a very small country compared to the  
18 U.S. and to California. So Denmark is approximately the  
19 size of New Hampshire and Vermont combined in area. And  
20 population-wise, it's similar to Massachusetts where we're  
21 about 5.6 billion people.

22           If you look at what is the status on the energy  
23 system in Denmark today, it is so that we currently have 53  
24 percent of our electricity being renewable, renewably  
25 produced. And we have three percent wind power that is

1 being curtailed and that's mostly because we have some  
2 bottlenecks on our interconnectors with neighboring  
3 countries. It's not good to do any curtailment at all.

4           And we also have a very high security of supply,  
5 even though we have a very renewable-based system. So even  
6 with a lot of wind and solar, we only have about 20 minutes  
7 where somebody is out of power in Denmark per year. This  
8 is the highest in Europe.

9           If we look at the targets, we have quite some  
10 ambitious Climate and Energy Policy targets. So by 2030,  
11 in seven years, we should be 100 percent green electricity.  
12 And also in 2030, we should have reduced our greenhouse gas  
13 emissions compared to 1991 levels by 70 percent. And the  
14 long-term goal is being climate neutral by 2050.

15           Next slide, please.

16           When we look at the current Danish energy system  
17 and energy mix and performance, it looks like this.

18           Can I have the next slide, please? Yeah. Thank  
19 you.

20           So this is the one showing the Danish energy mix  
21 and what it looks like today -- or as of 2021. We have 4.7  
22 gigawatt onshore wind and 2.3 gigawatt offshore wind, and  
23 PV solar at 1.4 gigawatt, and some thermal plants, 6  
24 gigawatt. And we also have, which is an important feature,  
25 interconnectors to a number of countries, and that adds up

1 to 7 gigawatt. So we have seven interconnectors, Sweden,  
2 Germany and Holland are being built to the UK. And as you  
3 can also see here, the peak demand is 7 gigawatt. Yeah.

4 And then if we look at some Danish power system  
5 records on wind and solar, we've had months in 2022, we're  
6 at 79 percent.

7 Oh, sorry. You went for the next slide too  
8 early. Could I have the slide, "DK Wind and Solar Driven  
9 System?" One back, please.

10 MS. JONES: Oh, I see it.

11 MR. LUNDBAEK: You see it?

12 MS. JONES: Yeah.

13 MR. LUNDBAEK: Okay. I don't see it.

14 MS. JONES: It's --

15 MR. LUNDBAEK: Okay.

16 MS. JONES: -- right there.

17 MR. LUNDBAEK: Sorry. Okay. Yeah. Thanks. I'm  
18 sorry. It works a bit slow on my computer here. Great.  
19 Yeah.

20 So I was just saying that here are some records  
21 showing the performance of the Danish system. So we've had  
22 months where 79 percent of electricity was renewables.  
23 We've had a day in '19 where we had 130 percent. And we  
24 have also had an hour where we were up to 166 percent.

25 And how can this happen? That's because of our

1 interconnectors where we exchange energy with neighboring  
2 countries. And this is done in a very market-based  
3 approach. So we exchange energy in accordance with the  
4 energy prices, the electricity prices in neighboring  
5 countries, so we can export if we have enough resources and  
6 prices are higher in a neighboring country and vice versa.  
7 And this creates quite a robust system. And it's important  
8 to have a lot of resources to rely on when you go into a  
9 very renewable-based system like this.

10 Next slide, please.

11 So just a quick view at what are the Danish plans  
12 for buildout of offshore wind. As already mentioned, we  
13 have 2.3 gigawatt offshore wind at the moment. This does  
14 not sound like a high figure but it's split over 15  
15 offshore wind farms, and the first one was built in 1991,  
16 so wind farms have been growing in size. And it's not  
17 until the last five to seven years that you see wind farms  
18 coming up in sizes of 1 gigawatt and more. So I would say  
19 we learned a lot of hard lessons in building these 15  
20 offshore wind farms.

21 Currently, we also have 1.4 gigawatt under  
22 construction. And we have 9.2 gigawatt planned up to 2030.  
23 And after 2030, we have the energy islands being planned.

24 So we have one in the North Sea, which would be  
25 an artificial island 100 kilometers from the coast of

1 Jutland. You can see that on the right-hand figure. It  
2 will be built in two phases, a first phase of 3 gigawatt  
3 and a long-run phase of 10 gigawatt.

4 We also have in the eastern parts of Denmark,  
5 near Bornholm in the Baltic Sea. We also have an energy  
6 island planned for 3 gigawatt wind, which I think Peter  
7 Markussen from Energinet will touch upon later. The long-  
8 term target is more than 35 gigawatt in 2050 as we have a  
9 lot of room in the North Sea and a relatively large sea  
10 territory compared to the size of the country. And so this  
11 will be one of our main sources or the main source of  
12 energy that would be offshore wind.

13 I should also mention that this is not floating  
14 but bottom-fixed. We are fortunate in Denmark that most of  
15 our sea territory is less than 50 meters deep, so we can  
16 use less costly bottom-fixed motor piles for our offshore  
17 wind farms, which helps drive down the price. And we do  
18 have a little bit of sea territory in the eastern part of  
19 Denmark, near Bornholm, where it's deeper where we could be  
20 using floating if that should come into play.

21 I think the key takeaway here is that, as you can  
22 see on the graph, we are actually standing in front of  
23 plans for increasing offshore wind fivefold in the next  
24 seven years, so we are also in a hurry in Denmark.

25 Next slide, please.

1           So this was a little bit of background to the  
2 system in Denmark and the size and what we are aiming at.

3           So now turning to how we do offshore wind in  
4 relation to grid connection and transmission, I'll provide  
5 some words on that in the next slides.

6           So on this slide you see the Danish process in a  
7 nutshell, which is what I would call centrally planned  
8 transmission for offshore wind, or to a high extent a very  
9 integrated setup when you plan offshore wind tenders and do  
10 transmission planning.

11           All our offshore wind farms, they start with a  
12 political mandate, so there will be a political agreement.  
13 I'll be using the case of the offshore wind farm as the  
14 latest one that comes out of our 2018 political agreement,  
15 where our parliament, looking at how to achieve 2030  
16 targets, decided that 2,400 megawatts at that time should  
17 be based on offshore wind.

18           This mandate is passed on to the Danish Energy  
19 Agency, where we get the order for planning for offshore  
20 wind. Then the Danish Energy Agency is passing this  
21 message further on to TSO to start planning for the  
22 required grid connection for these megawatt offshore winds.  
23 And that's where an order will be sent at the beginning of  
24 the tender process or solicitation process for an offshore  
25 wind farm. And at the end of this tender process, the



1 business case, the investment decision for investing in the  
2 grid will be approved by our Minister.

3 This also means that already, from the outset,  
4 there's a very tight partnership between the Danish Energy  
5 Agency and Energinet. So we have two dedicated teams  
6 working together on planning all this.

7 As also shown on this slide, part of the setup is  
8 that we always promise guaranteed grid access as part of  
9 our offshore wind solicitations. And this is something  
10 that is agreed in the tender process between the bidders  
11 and the TSO, when should first power be delivered, and this  
12 is then written into the concession agreement which is the  
13 contract between the winning party of a bid and the Danish  
14 government.

15 It is also so that with this guaranteed grid  
16 access comes an obligation for the TSO that if they should  
17 be late, then there's no guarantee for this grid access.  
18 So that means that the winning bidder will actually be  
19 compensated for that. This is written into the contract  
20 and it will then, if the TSO should be late, it is so that  
21 you will calculate the kilowatt hours that could have been  
22 produced and these would be compensated based on the  
23 electricity prices in this period. This is something that  
24 helps drive down prices for offshore wind in our tenders  
25 because it reduces the risk premiums in the face of

1 bidders. So we think that this is a key step or key  
2 feature of our tenders.

3           On the last bullet here, you can also see that  
4 the concession winner developer of our tenders would be  
5 subject to a penalty if they're not building the wind farm  
6 according to the agreed timetable, and this is besides  
7 having, you can say, the economic incentive to be building  
8 the wind farm quite fast once you've won the tender. Then  
9 we also nudge winning bidders to build the wind farms on  
10 time so we don't get late in the queue competing with other  
11 countries in Northern Europe.

12           Next slide, please.

13           So this slide here is a busy slide and it's hard  
14 to read, but it actually shows the governance and decision-  
15 making process and what we call one-stop shop in Denmark.  
16 And this is definitely much more easy to do in Denmark  
17 because of the way we have set up the regulation of  
18 offshore wind. So this one-stage model I explained before,  
19 that we play both the role of BOEM and what is being done  
20 at state level with the offtake.

21           Nevertheless, we also need to do a lot of  
22 coordination in Denmark. So what you see here is how all  
23 the line ministries coordinate and where the Danish Energy  
24 Agency and our ministry is sort of the one-stop shop or the  
25 lead in all this. So everything is being cleared across

1 line ministries, for example, the Department of Defense or  
2 the Danish Maritime Authority on shipping lanes and stuff  
3 like that, or it could be the Environmental Protection  
4 Agency in terms of permitting the onshore part of the grid  
5 and so forth, this is all being cleared at one clearing  
6 house at the Danish Energy Agency as part of the setup.

7           On the right hand side, you can see how the  
8 process works. You can see up and down. So we have a  
9 dedicated Energy Agency Project Team. And I have been  
10 leading this one for our latest tender, and that's where we  
11 coordinate with Energinet, the TSO. But otherwise, all  
12 decisions being made in the tender goes up to the political  
13 parties when we need to clear some of the higher decision  
14 points. Otherwise, we have the responsibility to push the  
15 project forward.

16           If I should give some examples of what is being  
17 cleared in the process going upwards to the ministry and to  
18 the political parties, it could be the subsidies or support  
19 scheme for such a tender. It's also the specific location  
20 of the site. It's issues like the cost of the grid  
21 connection and the timetable for building the onshore wind  
22 farm and the grid connection. This is all tied into this  
23 process.

24           Next slide, please.

25           So this slide shows how we at the Energy Agency

1 select sites for offshore wind based on what would be the  
2 most favorable sites in terms of wind resource and seabed  
3 conditions. This, I think, is very similar to what is  
4 going on in the U.S. with BOEM and authorities here in  
5 California.

6           You can see here on the lefthand side some sites  
7 that we explored prior to picking the offshore wind farm  
8 site. And on the righthand side, you see the grid, the  
9 onshore transmission grid and distribution grid in Denmark.  
10 And then the idea is to ideally pick sites where you have a  
11 combination of a good wind resource and good seabed  
12 conditions, and also a relatively easy planning and  
13 permitting process. And finally, some ideal grid  
14 connection.

15           So could we find places where we need less  
16 transmission upgrades? And where would be the ideal cable  
17 corridors? Where would we have good landfills and so  
18 forth? And that looks very similar to some of the stuff we  
19 just saw from the Schatz and from Jeff Billinton at CAISO.  
20 So I think this is quite a straightforward process.

21           Can I have the next slide, please?

22           I would like to emphasize that one thing we  
23 believe very much in is market dialogue. We learn a lot by  
24 talking very, very closely to developers and potential  
25 bidders. What I'm showing on this slide is sort of the

1 front page of -- this is a 20-page primer for market  
2 dialogue, invitation to dialogue, for the offshore wind  
3 farm project. And as part of this dialogue, we discuss  
4 timetable conditions for prequalification, the subsidy  
5 scheme and award criteria, penalties, and as I show here on  
6 the screen, number seven here, the grid connection. So  
7 this is an opportunity for us, quite early on in the  
8 process, to show and align expectations with developers on  
9 how is it actually that we intend to grid connect, in this  
10 case, the Thor offshore wind farm and what would be the  
11 process?

12           So you can see, this is a basic layout of the  
13 wind farm, the offshore substation, export cables, the  
14 point of connection or point of interconnection, as you  
15 call it here, and how it connects to the overall  
16 transmission grid.

17           What we find is that, through a robust market  
18 dialogue with developers, we can actually have a better  
19 informed project, less risk of running into trouble later,  
20 and also less risk -- or less risk premiums because  
21 developers, they have more transparency on the setup.

22           Next slide, please.

23           On this slide, I'm just showing you how it looks  
24 when you look into what we call the electronic tender  
25 platform for the offshore wind farm.

1           So as part of a tender process or solicitation of  
2 an offshore wind farm, the prequalified bidders have access  
3 to all the documents, roughly 20 documents, describing all  
4 the features of this project. I just mentioned a few of  
5 these. But, otherwise, this is something everybody can  
6 have a look at. It's available to everyone. It's in  
7 English. It's both in Danish and English. But because  
8 most of our bidders are also companies from outside  
9 Denmark, actually, we have all documents in English.

10           But three key documents here. One is the draft  
11 consistent agreement on the obligation to establish an  
12 offshore wind farm and connect it to the grid, where all  
13 the specifications and the terms are lined up prior to  
14 bidding, to providing a bid from all bidders.

15           We also provide all the permits you need. You  
16 need three permits offshore, and they are provided as what  
17 we call model permits, so they are in draft form but they  
18 will look very much like what you actually will be facing  
19 after you've won a tender.

20           And in terms of grid connection, we provide a  
21 number of grid connection agreement documents where grid  
22 connection interfaces are being described and where you can  
23 get a good understanding of exactly how the grid connection  
24 should take place.

25           Next slide, please.

1           So I have a bit of a sore throat here, so excuse  
2 me for being a little bit coughing here.

3           On this next slide here, it's a bit of an  
4 overview of how the tender documents are showing the  
5 offshore cable corridors and the landfall, and also the  
6 point of connections, and also exactly where the onshore  
7 substation would be situated. And normally we will have  
8 cleared a cable corridor up to the substation, because  
9 that's where you can get into trouble with landowners. So  
10 we have described the rights of way, and this is defined  
11 exactly what happens so that bidders can be comfortable in  
12 going forward with this project.

13           At this stage, the TSO/Energinet will have made a  
14 cable corridor where they try to avoid most conflicts with  
15 landowners. There's also some land parcels that need to be  
16 bought. Some of this will be bought just when the tender  
17 has been concluded. And it's also specified in the tender  
18 conditions what will happen if landowners need to be  
19 compensated. And also, if they will not sell their land,  
20 then we have some expropriation rules that we can use.

21           Next slide, please.

22           On the next slide here, I'm showing how some of  
23 our more recent learnings in Denmark is concerning where we  
24 locate the point of connections -- point of  
25 interconnection.

1           So until 2018, it has been shown that the TSO has  
2 been building the onshore substation and export cables.  
3 And after 2018, we found it more optimal for developers to  
4 build the grid forward to the point of interconnection  
5 onshore. The reason behind this is that we found, through  
6 analysis, that it's actually so that the developer can do a  
7 better optimization, a cost optimization of the whole  
8 offshore wind farm and the grid up until the onshore  
9 substation.

10           So in this way, you can say that the offshore  
11 substation asset can be optimally designed together with  
12 the wind farm and the export cables and their dimensions,  
13 and the way they are being run temperature-wise and things  
14 like that, can be designed in a more integrated way because  
15 the developer owns this whole asset, instead of having a  
16 TSO owning the offshore substation.

17           So previously, the point of interconnection was  
18 in a switch gear out on the offshore substation, and that  
19 is now moved until, as you can see here, there's two  
20 options in option one and option two. So it can either be  
21 in a zone with some kilometers of the shore or it could be  
22 going forward to the transmission grid. This has something  
23 to do with if the part of the grid onshore should be used  
24 for other producers, because then it would become what we  
25 call a collective grid in Denmark and then it has to be



1 owned by the TSO. If it's just a regular connection going  
2 up to the transmission grid without any other producers  
3 coming on this cable, it can be owned by the developer  
4 doing the offshore wind farm. So there are two options of  
5 doing this in Denmark, and it depends on what would be  
6 built onshore.

7 Another reason why it makes sense for the  
8 developer to build the offshore substation and the onshore  
9 substation is also that in case the developer would like to  
10 build some storage, PtX or green hydrogen production or  
11 batteries, this can actually be done prior to the onshore  
12 substation where you would need some tariffs that would  
13 make that more costly. So there are some other features  
14 here that makes it good to do it in this way.

15 Next slide, please.

16 So this slide shows the timetable from A to Z on  
17 building a 1 gigawatt offshore wind farm, like the Thor  
18 Offshore Wind Farm in Denmark. In our view, this  
19 integrated setup is important if you would like to save on  
20 speed, and also cost de-risking this whole project. So you  
21 can say, by using this integrated setup, you can actually  
22 have the TSO and the developer building a grid in parallel.

23 And as you can see, it takes about eight to nine  
24 years from when decided in parliament to build a wind farm  
25 until it's fully grid connected and in operation.

1 Actually, there's also room for building it faster than  
2 that, but that's where the penalty will kick in at the end  
3 of the fourth quarter in 2027 if the offshore wind farm in  
4 this case has not been built before that.

5           You can also see in this slide how there is a  
6 section on analyses and surveys. This is where we do all  
7 the pre-investigations, bird (phonetic) save surveys, all  
8 the geotechnical surveys offshore, and then the tender  
9 process itself. And then finally, how part of the  
10 timetable is on the side of the developer.

11           I will not go too much into detail, but this  
12 timetable is actually something that is being discussed in  
13 Denmark at the moment, that it should be even faster than  
14 this because we are basically doing a lot of offshore wind.  
15 But, for now, it takes some eight or seven, eight, nine  
16 years from decision to fully operational, depending on how  
17 fast the developer will build the wind farm.

18           Next slide, please.

19           And here, just a few words on what the future  
20 might look like in Denmark. So this slide is showing the  
21 energy island in the North Sea in Denmark. This is not  
22 exactly how it will be. This is sort of a hypothetical  
23 case, even though some of the things on the map are as they  
24 would be.

25           So the location of the energy island, you have

1 these two areas, Area 1 and 2, green and yellow here. And  
2 you, also, you can see the offshore wind farm that is being  
3 built at the moment. The argument I would like to make  
4 here is that, as in many other countries in Europe, and as  
5 you also see on the U.S. East Coast, connecting many  
6 offshore wind farms in the same region can create a very  
7 busy shoreline and some trouble with all these  
8 interconnections they have to go on shore.

9           So if you envisage that we should build the 10  
10 gigawatt, as we are planning for the offshore -- or the  
11 energy island in the North Sea in Denmark, if you look at  
12 the lefthand side, if we should gradually connect these  
13 wind farms, we would have a lot of cables coming in, and on  
14 shore we would have a lot of, probably, landowners that  
15 would not be very happy.

16           The other way of doing this is what we are  
17 intending to do on the righthand side, building this energy  
18 island, which would be similar to a meshed grid. So the  
19 idea is to connect, in the first phase, 3 gigabit to this  
20 island, and later up to 10 gigabits, and then that we have  
21 these two or three interconnectors, one to Denmark, one to  
22 Holland, and one could be going to Norway. So this will  
23 ultimately be a powerhouse in the North Sea, both producing  
24 offshore wind well out of sight, 100 kilometers from the  
25 coast, but also being able to deliver electricity to a

1 number of countries.

2           So in this way it's possible to source large wind  
3 resources in an optimal way. It's easier to export to  
4 other countries and then we will have less cables going on  
5 shore and, thus, less trouble with landowners. We also, of  
6 course, get some optimization on cables. And there's also  
7 something about using HVDC cables when you go long distance  
8 and using fewer cables, so you can optimize the economic  
9 business case.

10           And then I have just two slides more. So the  
11 next one, please, on cost and financing.

12           I will just show here that here are some  
13 developments on our three latest tenders of offshore wind  
14 in Denmark. And I think the relevant point I would like to  
15 make is that you see a declining curve, so downward trend  
16 in costs over time. So there are some learning curve  
17 effects as a maturation of technology, and also of the  
18 supply chain, and this is something I'm sure you will be  
19 seeing in California as well.

20           Now obviously, you are starting with floating so  
21 it's a less mature technology, you also have a less mature  
22 supply chain. You'll probably, like us, start with some  
23 higher prices and then they'll probably be driven down over  
24 time. And that is what should be the comfort zone, that,  
25 on average and over time, you'll drive down prices through

1 market volume, through maturing the supply chain.

2           If we look at what it has cost Danish ratepayers  
3 here, you can see that the Horns Rev 3, 400 megawatts, back  
4 in 2015 was \$6.00 U.S. per year. Kriegers Flak in 20 in  
5 2016 is a 600 megawatt offshore wind farm. And this even  
6 has an interconnector through it connecting Germany and  
7 Denmark. It's \$1.40 U.S. per year. And the latest one,  
8 surprisingly to us, we had a zero cent bid. And, actually,  
9 it is so because it's paid over a contract for difference  
10 that works two ways, that the Danish state will earn money,  
11 so we get net payments for offshore wind in Denmark these  
12 days.

13           And this shows you how it can be when you have a  
14 mature market, a good supply chain, ports, transmission and  
15 everything really being meticulously planned and  
16 everybody's ready to do what they need to do, and you can  
17 remove risk premiums and so forth.

18           This also, of course, shows that we have  
19 electricity prices in Scandinavia and in Northern Europe  
20 that will support the business case in itself, so we don't  
21 need to pay any subsidies, and that is why it says zero  
22 U.S. per year here.

23           So I think this is hopefully something that could  
24 be comforting for California, that in the longer term you  
25 would hopefully be able to see a downward cost curve like

1 we have seen in Denmark and elsewhere.

2           Next slide, please.

3           So the final slide is just summing up with some  
4 key takeaways and Danish lessons learned and when we look  
5 at transmission and offshore wind.

6           So we have learned that well planned and early  
7 identified points of connections and ownership boundaries  
8 provide transparency for bidders and this helps reduce risk  
9 premiums. We also believe that well planned cable  
10 corridors being exposed to robust market dialogue and  
11 environmental processes that are really informed will  
12 provide a good buy-in from all stakeholders and developers,  
13 and also help reduce local resistance and possible appeal  
14 cases.

15           Also the point I made earlier, this guaranteed  
16 grid access as part of the tender is something that we've  
17 had very good experiences with. And the TSO in Denmark has  
18 delivered really well and has never been too late, so we  
19 have not been able to -- or we haven't had to pay any  
20 compensation. And this, of course, because the planning  
21 process has been robust.

22           I would also say that in terms of saving time,  
23 this integrated planning process transmission offshore wind  
24 is very important and can reduce the timetable by working  
25 in parallel processes.

1           And all this adds up to what I would call a  
2 transparency and de-risking, and that all helps remove risk  
3 premiums from developers, resulting in lower bid prices  
4 and, ultimately, lower ratepayer costs, which I would  
5 assume is important both in Denmark and in California.

6           So with these words, I would say thank you very  
7 much for presenting.

8           On the final slide you can see my contact  
9 details, if anybody would like to get hold of us. And  
10 otherwise, thank you very much for having the opportunity  
11 to participate.

12           MS. JONES: Great. Thank you so much, Jeppe.

13           And next we're going to turn to Peter Markussen  
14 to finish out the day, followed by public comment.

15           MR. MARKUSSEN: Yes. Thank you very much. My  
16 name is Peter Markussen. I work for the Danish  
17 Transmission System Operator and it's a combination of the  
18 ISO, as you know in the U.S., but then also the  
19 transmission owner. And we build and maintain the  
20 transmission grid in Denmark as well.

21           So please show the first slide. Yeah. Take the  
22 next one as well.

23           So we have the responsibility both for gas and  
24 electricity grid in Denmark, and we have the day-to-day  
25 security of supply responsibility with our control center,

1 but we also do the long-term planning. We are owned by the  
2 Danish Ministry of Climate, Energy and Utilities. We are a  
3 nonprofit organization and then work for the Danish  
4 society.

5 As you can see on the map to the left -- or to  
6 the right, we are well connected to our neighboring  
7 countries, Germany, Sweden, Norway, also Holland. And we  
8 are also building a new interconnector to the U.K., Viking  
9 Link it's called. It's around 500 miles long, 750  
10 kilometers. It will be the longest HVDC cable in the  
11 world, 1.4 gigawatts. So it is -- of course, we don't have  
12 the same sea depth in Denmark or in the North Sea as you  
13 have on the West Coast of California, but still it is  
14 possible to have long offshore cables, HVDC.

15 Just, you know, for information, we do more than  
16 30 crossings when we are now building this interconnector.  
17 It will be up and running next year. And it has a cost of  
18 around \$2 billion. We are building it together with  
19 National Grid, the British transmission owner, and we share  
20 the costs 50-50 and the earnings as well.

21 We have integrated around 50 percent of  
22 renewables. And the way we have done it, it has been  
23 through our transmission grid with the flexibility to our  
24 neighboring countries, but it is also done with flexibility  
25 in our district heating where we use electricity for



1 heating but also produce electricity together with heat.  
2 So the two main sources for our flexibility is transmission  
3 and the consumption used for district heating.

4 So next slide, please.

5 So what is the challenge we look at? And if we  
6 start looking at the figure to the right, you will see the  
7 challenges is the same as we also heard from California  
8 ISO, that emissions are increasing so it is quite difficult  
9 to plan because you actually really don't know how much you  
10 need to build to. And here it's showing that in 2030, then  
11 last year we expected to build 8 gigawatt of solar and 6  
12 gigawatts of offshore wind, but now it has increased to 18  
13 gigawatts of solar and 8 gigawatts of offshore wind. And  
14 if you look towards 2040, then it is also almost a doubling  
15 of solar and offshore wind capacity. So it is quite a  
16 challenge for us to do that planning.

17 But a way of doing it is to speed up our planning  
18 processes and do a number of scenarios and sensitivities  
19 analysis just as California ISO is doing. But to  
20 accelerate, but still also our focus on reducing costs and  
21 risks and uncertainty, well, acceleration, we have three  
22 things we are looking at. One is the offshore wind tender  
23 size. Like I said, we have gone from smaller wind parks  
24 and are now up to 3 gigawatt. It is also speeding up  
25 decision process both, for example, environmental

1 assessment and stakeholder dialogue, but also with  
2 proactive grid planning so that the grid is ready when it  
3 is needed.

4           And then it is parallel buildout. What we have  
5 done earlier is one offshore wind park at the time, but now  
6 it is more wind parks, and we actually also have open-door  
7 projects where developers can come up with their own  
8 project proposals for areas where there are no plans for  
9 public tenders.

10           To reduce costs and risks, now we are looking at  
11 different connection possibilities with, for example,  
12 hybrid onshore grid connection where we might make a grid  
13 connection available of around 1 gigawatt but the developer  
14 is allowed to build more and then, for example, combine  
15 with consumption, maybe for hydrogen. It can also be  
16 storage, or it could also be a combination of offshore wind  
17 and solar where the different profiles, production  
18 profiles, then you can optimize the grid connection.

19           This is also a development of a mixed offshore  
20 grid where we are not just connecting the offshore wind but  
21 building backbone, as has also been the proposals on the  
22 California West Coast.

23           And then it is also a direct line from offshore  
24 wind to hydrogen, say to reduce our dependency on natural  
25 gas, especially from Russia, but also to reduce the CO2

1 footprint from using fossil fuels. There is a very  
2 ambitious strategy for using hydrogen in Europe, and also  
3 in Denmark, so this is also something we see that will come  
4 quite fast.

5           Then to reduce uncertainty, then market dialogue  
6 is very important, as also mentioned by Jeppe. But we are  
7 also looking at a new tariff and connection payment  
8 structure to make it more simple for more cost transparent  
9 by the developers, but also others then that wants to  
10 connect to the transmission with new consumers, so they  
11 know what the structure is. And also that they actually  
12 pay a higher share of the costs for connecting.

13           So historically, it has been to transport  
14 electricity to consumption that has borne the cost in our  
15 transmission grid. But now it is actually the production  
16 that are initiating the need for new transmission. So then  
17 it is actually also just fair that the production is paying  
18 a higher and more real share of the costs.

19           Then it is also important to take supply chain  
20 issues into account. Green transition is all over the  
21 world. There is a very fast increase in the need for new  
22 cables, overhead lines, converters, wind turbines. So this  
23 is also something that needs to be taken into account. And  
24 this can be done through market dialogue, but it can also  
25 be the way that you do through your tenders, for example,

1 to split it up or to have more fixed date that makes it  
2 possible for the developers to make their contracts  
3 earlier.

4 And then it is cooperation on technology  
5 development, especially HVDC technology, and multi-terminal  
6 HVDC setup, HVDC breakers. It is new technology and we  
7 need to have cooperation with both manufacturers, the  
8 developers, with universities to be able to do that. So  
9 these are some of the tasks that we are working on.

10 So to give two examples, then please move to the  
11 next slide.

12 One is the Energy Island of Bornholm where we  
13 want to connect the 3 gigawatt of offshore wind. It is an  
14 existing island around 150 kilometers from the Danish shore  
15 but a bit closer to Sweden, but we want to connect it to  
16 Denmark, but also to connect it to Germany. It has been  
17 decided to build it, and the development is ongoing. And  
18 we are looking at the cabling routes and, also, looking at  
19 the sea bottom to see how that looks, and doing  
20 environmental assessments to reduce the risks for the  
21 potential developers that hopefully can get their bids in,  
22 in two years' time.

23 The big picture in the middle here is a  
24 visualization of the HVDC onshore connection. It is around  
25 70 hectares, I guess that would be around 200 acres, so it

1 is quite a large area that when you do these converters on  
2 this Island of Bornholm, there has been some protests for  
3 this. But generally they just think it is good that they  
4 can see that things are happening on this island. They  
5 would like to be a green island. There will be a new part  
6 of the port being built out and also, of course, a lot of  
7 jobs when we do this.

8           So the next slide, please.

9           And when we look at the investment we expect it  
10 to be around \$67 billion Danish Kroner investment, that is  
11 around \$10 billion dollars for both infrastructure and wind  
12 turbines. At the moment the socio-economic business case  
13 is not positive, so there is a need for some kinds of  
14 subsidies or other kinds of support. And this is a cost  
15 benefit analysis because this is something we need to do.  
16 We need to build out offshore wind to get the renewable  
17 electricity that we need.

18           It looks like the electricity infrastructure will  
19 be neutral and can be established without a negative cost.  
20 And also, by decision by the politicians, it should be  
21 tariff neutral for the consumers.

22           Of course, there is a lot of uncertainty here in  
23 this business case. There is a dependency on the  
24 development of electricity price, and also the HVDC  
25 technology development. But there is now a business case

1 that has been approved, so we are moving on with the  
2 project.

3           Just to the right is an illustration of how the  
4 business case could look but we cannot show any numbers  
5 because we need to keep it confidential before we start our  
6 tenders. Normally you have the cost with the CapEx-OpEx.

7           Then the last part of the project income is what  
8 we call congestion rent, and that is that we at TSO, we get  
9 a share of the price difference between the different  
10 market areas when we transport electricity. That is one  
11 way of paying for transmission. It gives us a good  
12 financial incentive to establish transmission between  
13 different countries because then we get this congestion  
14 rent that can be part of the financing. Then there will be  
15 income, also, from balancing and reduced curtailment and  
16 other benefits.

17           The socioeconomic benefits will be the consumer  
18 rent with an expected low electricity price, but then also  
19 negative producer rent. There will be -- security of  
20 supply, in general, will be improved. And then there can  
21 also be other benefits as, for example, improved  
22 competition in the electricity market. There will be jobs,  
23 and also seeing a better environment in general.

24           Next slide, please.

25           And also discussions that are going on and

1 changes. Actually, each time we do a new offshore wind  
2 park is the allocation of costs and who has the  
3 responsibility. Where, let's say, earlier we have had the  
4 responsibility for doing the offshore connection but it was  
5 paid by the developer, where we then made a budget and  
6 there was supplies to hold that budget, otherwise we would  
7 be penalized, the two newest offshore wind parks, Thor,  
8 that Jeppe explained, and on (indiscernible), that's the  
9 developer who will do the onshore connection and pay for  
10 that. And we then do the external grid extension.

11           Then for the Bornholm Energy Hub, again the  
12 offshore substation connection will be the developer. We  
13 will do the internal grid extension. But then we have the  
14 HVDC grids that we will build and operate but it has to be  
15 paid for by the developer, or at least be used by the  
16 developer, would be paid by a tariff, that is the  
17 expectation.

18           And then the HVDC grid will also be used to  
19 transport electricity from Denmark to Germany. And it can  
20 also be used for balancing. So there we, as TSO, will use  
21 it and, of course, we will then pay our share for the use  
22 of the transmission grid.

23           So this is the setup we are looking at.

24           So the next slide, please.

25           This is the Energy Hub on the North Sea where we

1 started with connecting 3 gigawatt, but it can be up to 10  
2 gigawatt. And the North Sea wind power can then be part of  
3 a mesh grid in the offshore with up to 300 gigawatt of  
4 offshore wind potential. So this is a very large and  
5 ambitious setup.

6 And also, then the location of this is around 100  
7 kilometers from shore, so this will be HVDC as AC will be a  
8 large transmission loss and not competitive with HVDC.

9 What we need to be careful with here is, of course, the  
10 sailing groups, but it will also be unexploded objects from  
11 the first and second World Wars. There is also a challenge  
12 here in the North Sea. So that is part of the things we  
13 are looking at, at the moment.

14 So the next slide, please.

15 So when we look at this energy island, then we  
16 also do it in three phases where we will start with the 3  
17 gigawatt offshore and we will then build 3.4 gigawatt  
18 transmission. So the plan is to build more transmission  
19 that is actually needed for the wind. And the same is  
20 actually also the case for Bornholm, so that you have this  
21 interconnector possibility and redundancy if there is  
22 oxygen (phonetic) in the HVDC link.

23 We will then expect to build the second or the  
24 third phase in 2030s, around 2040. We are still not sure  
25 how it will be connected and what countries it will be



1 connected to but we will see.

2           And then to the right there is a picture of how  
3 the island could look. And then please notice that we are  
4 actually foreseeing that the HVDC platforms will be located  
5 on their own platforms, and then on this island, that will  
6 then be for the offshore wind transformers. And this  
7 island will be an artificial island established on the  
8 kessongs (phonetic) on the sea bed that will be around 20  
9 meters deep and will be around 100 kilometers from shore.  
10 But in the future it might also be able to be used for  
11 maybe producing hydrogen offshore and transport that to  
12 onshore as hydrogen is actually cheaper and maybe easier,  
13 also, to move.

14           We expect commissioning in 2033 of the first  
15 Energy Hub in the North Sea tie lines in 2031. And we  
16 expect to have a positive socioeconomic business case, no  
17 need for support, but that is the expectations today.

18           So next slide, please.

19           So just to say that the one more thing is to look  
20 at the offshore grid. We, of course, also look at our  
21 onshore grids. And we can see that we have a number of  
22 potential overload cases. And we do, you know, also a  
23 number of sensitivities to try to find out what is the  
24 development we should do anyway, for example, to maintain  
25 security of supply, and also the reinvestments in our aging

1 grid.

2           But we also look at different -- other tools, for  
3 example, on the tariff where we would like to have  
4 consumption to locate where we have a lot of production,  
5 and also to have production where we have a lot of  
6 consumption. We are also looking at the potential for  
7 these establishing direct lines if possible. Overall, our  
8 grid is financed by the tariff, our internal grid.

9           On the map, I will then also just mention that on  
10 the west coast of Denmark we are, at the moment, building a  
11 new 400 kV line to be able to integrate a lot of the  
12 renewable electricity we will see from offshore wind, but  
13 also from onshore and solar in the western part of Denmark.

14           So next slide, please.

15           And then finally, I mentioned hydrogen. And that  
16 is, actually, something that really can help us integrating  
17 offshore wind, and also do it efficiently and hopefully  
18 reduce costs. So at the moment we are able to integrate 5  
19 gigawatt of offshore wind in western Denmark. It would be  
20 quite costly to connect the next 5 gigawatt. So maybe  
21 there it may actually help us and also improve our  
22 utilization of the existing grid if it is connected as  
23 hydrogen, either as hydrogen produced onshore or hydrogen  
24 produced offshore.

25           We see the technologies there for doing it

1 onshore. The first two projects in western Denmark of 1  
2 gigawatt each, they are already very far in their planning  
3 and expected very soon to take their investment decision.  
4 And we also have 1 gigawatt in the middle of Denmark, 1  
5 gigawatt, and they have already started digging in the  
6 ground to establish a 1 gigawatt hydrogen production plant.

7           And then there will also be a need for hydrogen  
8 infrastructure. So as both a gas and electricity  
9 transmission system operator, we are looking at  
10 possibilities for doing that, both using existing grid but  
11 also using -- you know, establishing new grids. We don't  
12 have the law behind us to do it yet but we, of course, hope  
13 we will get it. And then there will be a large demand for  
14 hydrogen, especially in Germany in their energy intensive  
15 industry where they would use the hydrogen, but we also  
16 foresee that it will be used to produce ammonia to  
17 fertilize. It could also be used for e-methanol to be used  
18 in the transport sector.

19           So the last slide, please.

20           Thanks for your attention. And just to mention,  
21 it is quite late in Denmark but I hope you are still up and  
22 full of energy. So thank you very much.

23           MS. JONES: Thank you, Peter. Yeah, I was  
24 noticing, it's well past midnight where you are, so thank  
25 you --

1 MR. MARKUSSEN: It is.

2 MS. JONES: -- for hanging in with us. I  
3 appreciate it.

4 So I want to thank all the presenters, David,  
5 Jeff, Arne, Jim, Jeppe and Peter. That concludes our  
6 presentations for the day.

7 We're now going to move into the public comment  
8 portion of the agenda. And for this I'd like to invite  
9 Dorothy Murumi from the Public Adviser's Office to provide  
10 instructions for public comment and to help call on raised  
11 hands. Thanks.

12 MR. BARTRIDGE: Dorothy, are you with us?

13 MS. ANDERSON: It's possible that her screen  
14 froze.

15 MS. MURIMI: Hello, can you hear me?

16 MS. ANDERSON: There you are.

17 MR. BARTRIDGE: Perfect. Thank you.

18 MS. MURIMI: Apologies. Technology has -- my  
19 screen has frozen momentarily. So as I'm getting that up,  
20 let me read instructions for everybody. And thank you,  
21 everyone, for your patience.

22 So once again, thank you, Melissa, and hello,  
23 everyone. For the record, I'm Dorothy Murumi, and I'm with  
24 the CEC's Office of the Public Adviser, Energy Equity, and  
25 Tribal Affairs.

1           We are now beginning public comment. This is an  
2 opportunity for attendees to give their comments. Each  
3 person will have up to three minutes or less to speak.  
4 Comment times may be reduced to ensure we are able to hear  
5 from everyone.

6           To make public comments, individuals on the Zoom  
7 platform should click on the raise-hand icon. And for  
8 those calling in by phone, press star nine to raise your  
9 hand and star six to unmute. When you're called upon, I'll  
10 open your line or we'll open your line. Please make sure  
11 to unmute on your end. For the record, state and spell  
12 your name, give your affiliation, if any, then begin your  
13 comments. We'll show a timer on the screen, and we'll  
14 alert you when your time is up. All comments will become  
15 part of the public record.

16           I'll give this one moment as I go in the order of  
17 hands raised. Just a moment, please.

18           Actually, Hilarie, if you can unmute the first  
19 person?

20           MS. ANDERSON: Sure, no problem. Give me just a  
21 second. We have Liz -- and I'm going to apologize if I  
22 misstate your last name -- Klebaner. I'm going to unmute  
23 your line.

24           MS. KLEBANER: Hello. Good afternoon. Are you  
25 able to hear me?

1 MS. ANDERSON: Yes, we are.

2 MS. KLEBANER: Thank you. Good afternoon. I'm  
3 Liz Klebaner, outside counsel to Enveric (phonetic)  
4 Development Partners. I would like to thank the CEC, the  
5 CPUC, and CAISO, and the other presenters today for their  
6 work to support offshore wind generation in California.

7 Enveric develops transmission to accelerate the  
8 deployment of renewable energy across North America, and  
9 specializes in the design, development, financing, and  
10 construction of large-scale electric transmission systems.  
11 Enveric's transmission expertise includes the design and  
12 development of shared open access subsea transmission  
13 systems for offshore wind. Enveric is pleased to identify  
14 itself as an industry stakeholder under AB 525.

15 AB 525 expressly recognizes subsea transmission  
16 as an option to alleviate congestion. The law directs the  
17 Commission to include all relevant information on the cost  
18 of subsea high-voltage transmission, and to make cost  
19 findings in the state's Strategic Plan for offshore wind.  
20 The Commission should interpret the phrase "all relevant  
21 information" to require an exhaustive and objective  
22 assessment of the cost of subsea transmission. Such an  
23 assessment should include a comparative analysis of  
24 overland and subsea options, and that cost comparison  
25 should take into account the actual development costs and

1 lead times for overland transmission projects in  
2 California.

3           On the North Coast, most mileage along any  
4 overland route would pass through very high severity fire  
5 hazard zones. There, overland transmission would also  
6 traverse environmental justice communities, tribal, and  
7 state park and forest service lands. The California  
8 experience is that such impacts have been found to be  
9 unacceptable, requiring both undergrounding and extensive  
10 rerouting to mitigate the aesthetic, recreational,  
11 parkland, and community impacts of overland transmission.  
12 We've seen this in Chino Hills, at the ends of Borrego  
13 State Park, the city of Jurupa Valley, and the Tri Valley  
14 area in Northern California.

15           Cost assessments that rely on overland routes  
16 with no likelihood of surviving the environmental review  
17 process are not relevant information for purposes of AB  
18 525.

19           All relevant information on the cost of subsea  
20 transmission should also include a review of procurement  
21 models capable of encouraging innovation, cost containment,  
22 and the efficient scaling of offshore wind generation on  
23 the North Coast. One example is provided by a New England  
24 State RFI, which considered a networked modular buildout of  
25 transmission capacity.

1           Another example comes from Texas and its  
2 designation of competitive renewable energy zones, which  
3 enabled the proactive development of transmission to  
4 connect 18.5 gigawatts of wind power to load centers.  
5 These or similar models should be considered in the  
6 Strategic Plan.

7           Thank you for this opportunity to comment. On  
8 behalf of Enveric, we eagerly anticipate reviewing the  
9 draft transmission chapter.

10           MS. MURIMI: Thank you, Liz.

11           Next, we'll have Timothy Jefferies.

12           Timothy, your line has been unmuted. Please  
13 state your name, give your affiliation, if any. You may  
14 begin.

15           MR. JEFFERIES: Thank you. My name is  
16 Timothy Jefferies. That's T-I-M-O-T-H-Y, Jefferies,  
17 J-E-F-F-E-R-I-E-S. I'm with the International Brotherhood  
18 of Boilermakers. I would like to thank the CEC for this  
19 forum.

20           My question is kind of twofold, maybe. So the  
21 contractors, I don't know if 525 covers -- would the  
22 developer be from California? But more importantly for me,  
23 will the workforce be from California? Will it be a local  
24 skilled and trained workforce? And so I would not like to  
25 see units built outside of California and then brought into  
California. I'd like to see California's workforce a part



1 of this one forward.

2 Thank you.

3 MS. MURIMI: Thank you, Timothy.

4 Next, we have an individual who's named Zoom  
5 User. Please state and spell your name for the record.  
6 Your line has been unmuted. You may begin your comment.

7 MR. JACOBSON: Thank you so much. My name is Dan  
8 Jacobson, D-A-N, last name J-A-C-O-B-S-O-N, Senior Advisor  
9 to Environment California. Just wanted to make three quick  
10 points. And I'll be sure to cede most of my time back to  
11 the commission.

12 The first is just a thanks to the folks from  
13 Denmark, both for traveling out here, they've been out here  
14 for the past couple of days, and for those that stayed up  
15 well past midnight. There's a lot to learn from these  
16 other countries that have gone ahead of California in terms  
17 of developing offshore winds. And it's no surprise that,  
18 for the group that just came back on the fact-finding  
19 mission, that they learned so much from many of these same  
20 individuals who we met with, consulted with, and had the  
21 opportunity to learn a lot. So just a thanks to them for  
22 their great presentation.

23 The second is just also to echo, this was a  
24 really informative set of presentations on transmission  
25 from all the parties here in California, from the PUC and

1 from the CAISO.

2           There is one thing I think we need to think about  
3 when we think about transmission, which is that we tend to  
4 think about it just in a straight sort of dollar cost, but  
5 transmission provides so many more benefits to the grid for  
6 California, that I want to make sure that there's a way to  
7 incorporate those thoughts into it.

8           So whether it's the, you know, the carbon that's  
9 being reduced, whether it's the really greater diversity  
10 that more transmission allows us to bring into California,  
11 which makes for a stronger grid, which makes for a more  
12 reliable grid, which helps to create an insurance policy  
13 against the volatile fuel prices that we're seeing on  
14 natural gas and so many of the other fossil fuels, that,  
15 again, it's easy to just sort of look at the dollar amount  
16 and to say, gee, that could be expensive.

17           But I think what we have to envision is the grid  
18 of the 21st century, you know, 2100, but 2050 and think,  
19 how do we get that? And the new transmission projects that  
20 we're looking at right now have a great opportunity to  
21 bring us there.

22           And finally, the one other thing that I want to  
23 talk about transmission is that when we talk about subsea  
24 cables or bringing the transmission over ground, is that in  
25 what areas will these transmissions be brought into? And

1 based upon that, what opportunities are there to retire  
2 early existing fossil fuel plants? And oftentimes when the  
3 PUC looks at their basins, they have to see what energy is  
4 coming into that. And so if we can work with the PUC and  
5 look at ways to use the transmission that's coming in from  
6 offshore wind to help retire fossil fuel power plants, that  
7 continues offshore wind's win-win situation.

8           So thank you very much for your time, and I'll  
9 cede the rest of mine back.

10           MS. MURIMI: Thank you so much.

11           I'd like to make a last call. Oh, I see one more  
12 participant.

13           Amy Jester, your line is unmuted. Please state  
14 your name for the record, and then you may begin your  
15 comment.

16           MS. JESTER: Thank you very much. Can you hear  
17 me okay?

18           MS. MURIMI: Yes, we can.

19           MS. JESTER: Excellent. Hello. Thanks so much  
20 to the California Energy Commission for hosting this  
21 meeting and for the informative presentations that were  
22 offered by all speakers. I am Amy Jester with the Redwood  
23 Region Climate and Community Resilience Hub, which is  
24 located in Humboldt County.

25           It's absolutely critical that the North Coast

1 transmission buildout include direct electrification  
2 benefits for our rural and tribal communities. Energy  
3 access on the North Coast is a significant equity issue.  
4 This is California's most diversely populated tribal  
5 region, and the region will act as a key hub for the West  
6 Coast offshore wind industry. That means that we must  
7 ensure that this community that will be a critical host  
8 node for the offshore wind industry directly benefit from  
9 the electrification build out of offshore wind.

10 Thank you.

11 MS. MURIMI: Thank you so much.

12 I'd like to give one last call for any  
13 commenters. Again, for those calling in, press star nine  
14 to indicate that you'd like to make a comment, and star six  
15 to unmute on your end. And for those on Zoom, go ahead and  
16 use the raise-hand feature. It looks like an open palm at  
17 the bottom of your screen. I'll give that one more moment.  
18 Again, the raise-hand feature, looks like an open palm.

19 Okay, seeing no more comments, thank you everyone  
20 for participating in public comments today. As a reminder,  
21 we are also expecting written comments, which are due  
22 December 1st. And that concludes this public comment  
23 period.

24 Now I'd like to turn it back to Jim Bartridge for  
25 any closing remarks.

1           MR. BARTRIDGE: Thanks, Dorothy, and thanks to  
2 everyone for participating in our workshop today as a  
3 reminder, and Dorothy just said this, but comments are due  
4 December 1st.

5           I'd also like to thank David Withrow and Nathan  
6 Barcic for discussing how offshore wind is being considered  
7 in the PUC's IRP process, and Jeff Billinton for the work  
8 you've done and are doing going forward to evaluate  
9 offshore wind resources in the CAL ISO's transmission  
10 planning process.

11           Also, many thanks to Arne Jacobson and Jim  
12 Zoellick for highlighting the offshore wind transmission  
13 studies and activities occurring in the North Coast region,  
14 as well as the overview of the new study funded by the  
15 Department of Defense.

16           And finally, many thanks to Jeppe Lundbeck from  
17 the Danish Energy Agency and Peter Markussen from  
18 Energinet. It's been extremely valuable hearing your  
19 experiences with transmission to connect offshore wind  
20 generation, and we appreciate and look forward to our  
21 continued collaboration and partnership with you.

22           And finally, to our workshop attendees, thank you  
23 for joining us this afternoon. We look forward to your  
24 continued engagement and participation as we move forward  
25 with the transmission assessment that will be included in

1 the AB 525 Strategic Plan. So thanks again to everybody.

2 We are adjourned just before 4 o'clock. Take  
3 care.

4 (Off the record at 3:58 p.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of December, 2022.



---

MARTHA L. NELSON, CERT\*\*367

## CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

December 5, 2022