

<b>DOCKETED</b>	
<b>Docket Number:</b>	22-IEPR-03
<b>Project Title:</b>	Electricity Forecast
<b>TN #:</b>	248419
<b>Document Title:</b>	Transcript of Commissioner Workshop on Updates to the California Energy Demand 2022-2035 Forecast - Part 2
<b>Description:</b>	December 16, 2022 1:00 p.m. - 3:30 p.m.
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	1/17/2023 7:54:42 AM
<b>Docketed Date:</b>	1/17/2023

STATE OF CALIFORNIA  
CALIFORNIA ENERGY COMMISSION

In the matter of:

2022 Integrated Energy Policy )  
Report Update ) Docket No. 22-IEPR-03  
(2022 IEPR Update) )  
\_\_\_\_\_ )RE: Demand Forecast

IEPR COMMISSIONER WORKSHOP ON UPDATES TO  
CALIFORNIA ENERGY DEMAND 2022-2035 FORECAST: PART 2

REMOTE ACCESS VIA ZOOM

FRIDAY, DECEMBER 16, 2022

1:00 P.M.

Reported by:  
Martha Nelson

APPEARANCESCOMMISSIONERS

Siva Gunda, Vice Chair

Andrew McAllister

Patricia Monahan

CEC STAFF

Heather Raitt, Assistant Executive Director

Heidi Javanbakht, Demand Analysis Branch

Alex Lonsdale, Energy Assessments Division

Quentin Gee, Energy Forecasting Unit

Nick Fugate, Energy Assessments Division

Lynn Marshall, Economist

PUBLIC ADVISOR

Noemi Gallardo

PUBLIC COMMENT

Bill Boyce, West Coast Clean Transit Corridor Initiative

INDEX		<u>PAGE</u>
Introduction		
Heather Raitt, CEC, Integrated Energy Policy Report		4
Opening Remarks		5
Siva Gunda, Vice Chair and Lead Commissioner for 2022 IEPR Update		
Patty Monahan, Commissioner		
J. Andrew McAllister, Commissioner		
1. Forecast Background		12
Heidi Javanbakht, CEC		
2. Annual Electricity Demand Forecasts		22
Alex Lonsdale, CEC		
Discussion between dais and panelists		
Questions from attendees to presenters and Panelists		
3. Electric Vehicle Hourly Load		53
Quentin Gee, CEC		
4. Hourly and Peak Electricity Demand Forecast		59
Nick Fugate, CEC		
Discussion between dais and panelists		
Questions from attendees to presenters and Panelists		
Public Comments		102
Closing Remarks		103
Adjournment		104

P R O C E E D I N G S

1:00 p.m.

FRIDAY, DECEMBER 16, 2022

MS. RAITT: Good afternoon and happy Friday, everybody. Welcome to this Commissioner Workshop on Updates to the California Energy Demand 2022-2035 Forecast. This is part two. It's a continuation of the discussion of the forecast that we started on December 7th.

I'm Heather Raitt, the Director for the Integrated Energy Policy Report. I'll just make a few logistical announcements before we get into the substance today.

Next slide, please.

This is a remote-only workshop. And to follow along, the meeting schedule and presentations are posted on the Energy Commission's IEPR webpage. Please note that the workshop is being recorded, and so we'll post a recording shortly after the meeting, and we'll also have a written transcript available in a few weeks.

We welcome participation in this workshop, and so the Q&A function on Zoom is open, and folks are welcome to type in questions. And we'll be taking a few questions for a few minutes after the presentations.

And alternatively, we also have a public comment period at the end of the day, and at that point we'll be

1 opening up the lines if you raise your hand -- virtually  
2 raise your hand. And we allow three minutes per comment  
3 and one person per organization, please.

4 And then we also have written comments, which are  
5 due on December 30th. We welcome any written comments.  
6 And also just today we extended the written comment period  
7 from the December 7th workshop to also be December 30th.  
8 So get your written comments in by December 30th. That  
9 would be great.

10 And with that, I'll turn it over to Vice Chair  
11 Gunda, who is the Lead for the 2022 update.

12 Thank you.

13 VICE CHAIR GUNDA: Thanks, Heather. And welcome,  
14 everybody, for the second part of the forecast.

15 And I just wanted to start by acknowledging the  
16 Commissioners who are here in attendance. Commissioner  
17 Monahan is here, and Commissioner McAllister. I see him,  
18 as well, attending today.

19 As always, it's important to note a big thanks to  
20 Heather, Denise, Stephanie, and the whole IEPR Team for all  
21 the incredible work they do in keeping us moving in these  
22 workshops, and also the report-writing.

23 I also want to acknowledge Alicia Gutierrez,  
24 David Erne for their leadership at the division level, and  
25 then today's presenters, Heidi Javanbakht, Quentin Gee,

1 Alex and Kelvin, as well as Nick Fugate, who is  
2 foundational and extremely important for his leadership and  
3 mentoring of new staff members, and also leading as a chief  
4 forecaster. SCE's contribution, you know, to correct some  
5 inconsistencies in their Q4 data this fall and sending us  
6 updated data. Thank you for your collaboration.

7 CAISO for providing their analyses of the Flex  
8 Alert response during the September heat event, which is  
9 really important to construct the consumption in the  
10 forecasts versus what we actually see as the load on the  
11 CAISO system.

12 And JASC members, the Joint Agency Steering  
13 Committee members, CPUC, CAISO, and CARB for their  
14 invaluable feedback and collaboration on the forecast, you  
15 know, process along the entire year, and the changes they  
16 propose, and the changes they work with us together on.

17 So a big thanks to everybody.

18 I want to just spend a minute on continuing to  
19 elevate/socialize the important foundational role that the  
20 forecast plays, and then also some of the opportunities and  
21 requirements as we move forward.

22 As we all know, you know, CEC has, you know, four  
23 foundational elements that we work on. You know, CEC is  
24 the data depository for the state on energy. You know, we  
25 are the preferred clean investment vehicle for the state

1 through our R&D programs, through the programs that  
2 Commissioner Monahan oversees in transportation -- and by  
3 the way, congratulations to her for the incredible plan  
4 that we just adopted -- and many other things we do on just  
5 providing investments for accelerating clean energy  
6 resources in California.

7 Third, you know, we have regulatory functions,  
8 you know, such as Commissioner McAllister, who's the Lead  
9 on the Building Codes and Standards and other elements in  
10 siting and permitting, you know, that we have some  
11 regulatory authority in ensuring, you know, we move the  
12 ball on a variety of important elements that support demand  
13 growth in California.

14 And finally, and one of the most important roles  
15 that the CEC has, is being this planning and policy agency  
16 that's a neutral venue that produces planning assumptions,  
17 common planning assumptions for the state, but also  
18 provides a venue through IEPR that's generally neutral to  
19 have ideation on key policy directives, and then develop  
20 recommendations to the legislature and the administration.

21 So as a part of the demand forecast and the role  
22 it's going to continue to play in this, as we move forward  
23 into this energy transition and completely accelerate  
24 through this energy transition, the forecasting and the  
25 analytical work that CEC and especially the Energy



1 Assessments Division does has a critical role in not just  
2 providing the planning assumptions but also constructing  
3 scenarios that are necessary to evaluate a multitude of  
4 directional pathways that the state could take, you know,  
5 the potential issues with them and, you know, the things  
6 that we have to navigate along the way, and then developing  
7 recommendations.

8           And that's what you're seeing, the evolution of  
9 forecasting, you know, from having a more equilibrium state  
10 for the last several years in producing our day-in, day-out  
11 IEPR Forecast to more of a scenario analysis that allows  
12 for the broader concentrations here. We are evolving it on  
13 multiple fronts in terms of looking at policy  
14 implementations, looking at, you know, climate change  
15 impacts, electrification impacts, and a variety of things.

16           So I am incredibly proud of the team we have,  
17 their intellect, their commitment to the work they do, and  
18 the integrity with which they work. And we can always  
19 improve as an agency, and that's where the public, the  
20 stakeholders play such an important role in helping us make  
21 the products better and helping the state move forward  
22 together as one big family.

23           So I will pass it on to Commissioner Monahan.  
24 But just, again, a big sense of gratitude to the entire  
25 team.

1           Commissioner Monahan?

2           COMMISSIONER MONAHAN: Thanks, Vice Chair Gunda.

3           And I want to say I missed the first chapter of  
4 this workshop. I missed the first one, so I'm coming in a  
5 little bit midstream.

6           But I was appreciating actually something you  
7 said, Vice Chair Gunda, about "we're moving from an  
8 equilibrium to a scenario-based analysis." And it made me  
9 think we're actually sort of moving from equilibrium to  
10 recognition that our climate system is in a state of  
11 disequilibrium, that we're really trying to make sure that  
12 our models are more attentive to the changing climate that  
13 we're facing, and to some of the threats that are emerging  
14 as a result of that, wildfires, higher temperatures, heat  
15 domes. So it's just a different world. And I think our  
16 team is really working hard to change our modeling to be  
17 attentive to the changes in our climate system.

18           And from a transportation perspective, I would  
19 say -- I wouldn't -- I would also say we're in a, I mean,  
20 scenario-based is a really good way to put it, where we're  
21 learning rapidly what the trajectory of our load is going  
22 to be from battery electric vehicles. We haven't yet done  
23 an analysis of the hydrogen implications, but that also is  
24 part of -- the future of the system is going to be very  
25 different from today's.

1           And I just really want to give a shoutout to the  
2 team that has been working on this, including Heidi and  
3 Quentin and others, just really trying to model out from a  
4 really thoughtful and data-based perspective what's going  
5 to happen today, what's going to happen tomorrow, and  
6 what's going to happen in the future.

7           VICE CHAIR GUNDA: Thank you, Commissioner.  
8 That's wonderful, and thoughtful comments.

9           I wanted to see if, Commissioner McAllister, I  
10 don't know if you're able to speak.

11           COMMISSIONER MCALLISTER: Yeah, I'm able to  
12 speak.

13           Looking forward to part B of the dialogue we  
14 started last week. And, yeah, just don't have a lot to  
15 add, just, you know, I think we all know how critical the  
16 forecast, the various components of the forecast, and how  
17 unique it is really in the planning world, the energy  
18 planning world. California really does this in a way that  
19 no other jurisdiction does.

20           And I think sometimes we get so involved in the  
21 details, because it is very detailed work, but, you know,  
22 other countries don't really have a way of -- other  
23 countries I say, we're a nation state; right? -- don't  
24 really have a way of integrating, you know, from top to  
25 bottom, the electric grid.

1           You know, our end use of energy efficiency, load  
2 flexibility, those components, those wedges that we put  
3 into the forecast, you know, to have a managed forecast  
4 really do encompass the wide range of policy instruments  
5 that we have at our disposal. And so when we do load  
6 flexibility and we enhance that part of the puzzle, that  
7 piece of the puzzle, the rest of it can move to  
8 accommodate, and that will all be reflected in the  
9 forecast.

10           So I think it's really powerful in that way that  
11 we can kind of, over time, just understand all these varied  
12 pieces together and, you know, kind of know if we do the  
13 work and the detailed work, we keep up on all the pieces  
14 and parts, and you know, that's what staff does so well,  
15 then we end up with an integrated picture that encompasses  
16 all the investments we're making on the -- you know, from  
17 all types of generation, all the way down to the appliances  
18 behind-the-meter. And that's reflected in how we optimize  
19 investment in procurement and in infrastructure. And I  
20 think that's just a very powerful approach, and it's kind  
21 of -- the sum total of that is very visionary.

22           And so I just want to thank Vice Chair Gunda for  
23 managing that large enterprise so well. And you know, I  
24 think we all benefit from it at the Energy Commission and  
25 across the state. And it will be even more, I think,

1 critical as the scoping plan become -- you know, that was  
2 adopted yesterday. You know, kudos to ARB on that, and  
3 Chair Randolph. As that -- sort of the implications of  
4 that and the instruments of that permeate the energy  
5 sphere, the forecast will be able to march in lockstep.

6 So I think that's just a really -- it gives me  
7 confidence, and should give us all confidence, that this  
8 hard work that we do every year, really, but every other  
9 year, you know, as a complete enterprise is worth it and  
10 brings a lot of value to Californians.

11 So anyway, that's the context that I -- that's  
12 why I always try to, you know, listen into these because I  
13 want to just keep sharp on all the different pieces. So  
14 thanks for having a platform.

15 And thanks to Staff for all the great work.

16 VICE CHAIR GUNDA: Thank you so much,  
17 Commissioner McAllister.

18 Great points by both of you on just the  
19 integrated nature of the work and the opportunity for us to  
20 really, you know, go through the transition and elevate the  
21 necessary analysis for policymaking.

22 So with that, I will like to call on Heidi to  
23 begin her presentation.

24 Thanks, Heidi.

25 MS. JAVANBAKHT: Thanks, Vice Chair Gunda.

1           Good afternoon, Commissioners and everyone  
2 attending online. Thank you for joining.

3           I want to start by expressing my gratitude to the  
4 IEPR Team, all the Commissioners on the dais, as well as  
5 everyone else attending this afternoon for your  
6 flexibility, and splitting what was a full-day workshop on  
7 the 7th into two half-day workshops, with today being part  
8 two.

9           I also want to echo the thanks to the Forecasting  
10 Team for all of their work this year. In particular,  
11 thanks to Nick Fugate for his leadership and mentoring of  
12 new team members, as well as team members in new roles.

13           And thanks to Alex Lonsdale and Kelvin Ke for  
14 stepping outside their normal roles to fill in some gaps on  
15 the team this year.

16           Next slide, please.

17           The goal of today's workshop is to present the  
18 overall results of the 2022 California Energy Demand  
19 Forecast Update and ask for feedback. The team will go  
20 over the consumption and sales results, will show electric  
21 vehicle charging profiles, and then present the hourly and  
22 peak load results.

23           We had a workshop last week on the 7th that  
24 covered the Additional Achievable Transportation  
25 Electrification and Fuel Substitution results, and those

1 presentations and the recording are posted on the IEPR  
2 website in case anyone missed that.

3 Next slide.

4 I wanted to start by providing some background  
5 about why the Energy Commission forecasts energy demand.

6 In 1974, the Warren-Alquist Act established the  
7 Energy Commission to respond to the state's unsustainable  
8 growth and demand for energy. As part of this act, Public  
9 Resources Code 25301(a) requires that the Energy Commission  
10 conduct assessments and forecasts of all aspects of energy,  
11 industry, supply, production, transportation, delivery and  
12 distribution, demand and prices, and that these forecasts  
13 occur at least every two years.

14 The cycle that we have currently is to provide a  
15 full update of the forecast every two years in the odd  
16 years, and in the even years we do a partial update. We  
17 are in 2022, so an even year, and we did a partial update  
18 of the forecast this year.

19 The forecast is developed with input from  
20 stakeholders all along the way. Key stakeholders include  
21 the California Public Utilities Commission, the Investor  
22 Owned Utilities, and the California Independent System  
23 Operator, as these stakeholders use the forecast in various  
24 proceedings, such as the CPUC's Integrated Resource Plan,  
25 and the ISO's Transmission Planning Process.

1           Next slide.

2           Last year's forecast deviated from the usual  
3 process. The 2021 forecast was adopted in January and did  
4 not include the Air Resource Board's proposed policies for  
5 transportation electrification, as historically our  
6 forecast has only incorporated policies once they are  
7 final.

8           However, there were concerns that many types of  
9 system upgrades require a long lead time, so an Interagency  
10 Working Group was formed to discuss the development of a  
11 new scenario that included the transportation policies.  
12 Out of these discussions came the Additional Transportation  
13 Electrification scenario, which was adopted in May, along  
14 with an agreement amongst leadership at the CPUC, the ISO,  
15 and CEC that there is a strong need to deviate from the  
16 2021 forecast and instead use this new ATE scenario for the  
17 ISO's 2022-23 Transmission Plan, and for CPUC's Integrated  
18 Resource Plan Portfolio for the 2023-24 transmission  
19 planning cycle.

20           In developing the ATE results, the Forecasting  
21 Team only pulled together the files needed by the CPUC and  
22 the CAISO, and not all products were created. Therefore,  
23 throughout our presentations this afternoon, as we compare  
24 it to last year's forecast, you'll see comparisons to both  
25 the 2021 forecast and the ATE where those values are



1 available.

2           As you can see on this chart, the ATE was the  
3 same as the 2021 mid-mid forecast through 2027, and after  
4 that the ATE reflects higher load from transportation  
5 electrification through 2035.

6           Next slide.

7           The Energy Demand Forecast has a lot of different  
8 data and models feeding into it. Inputs include historical  
9 electricity and gas consumption, economic and demographic  
10 data, energy prices and rates, and energy efficiency and  
11 fuel substitution programs and standards. These feed into  
12 the models that we have for the residential, commercial,  
13 industrial, and agricultural sectors.

14           In addition, we have the load modifiers in the  
15 green boxes, which include the behind-the-meter distributed  
16 generation models, additional achievable energy efficiency,  
17 and fuel substitution models. And new for this year, we've  
18 introduced a new framework for transportation called  
19 Additional Achievable Transportation Electrification, or  
20 AATE, and not to be confused with the ATE scenario from  
21 last year.

22           Once all of these components are completed, they  
23 are rolled up into the overall end-user consumption and  
24 sales statewide and by planning area, and then the last  
25 step is to produce the hourly and peak forecasts.

1           Next slide.

2           The forecast this year is an update to the 2021  
3 Forecast. Routine updates include adding an additional  
4 year of historical data, updating projections of economic  
5 and demographic data, and updating the electricity rates.  
6 We also update the hourly and peak demand forecast every  
7 year, and we incorporated data from September's record-  
8 breaking heat and peak load event.

9           The main changes for this year are the bolded  
10 bullets. The first is an update to Additional Achievable  
11 Fuel Substitution, or AAFS, analyses to layer in the  
12 estimated impacts from the Zero-Emission Space and Water  
13 Heater Measure in CARB's State Implementation Plan, and  
14 this was presented at the workshop on December 7th.

15           We've also transitioned to an additional  
16 achievable framework for transportation, similar to what we  
17 use for energy efficiency and fuel substitution, and that  
18 was also presented on December 7th. The additional  
19 achievable framework for transportation allows for more  
20 flexibility and scenario design that better captures the  
21 uncertainty in this rapidly changing sector.

22           And overall, we've transitioned to a simplified  
23 forecast framework which reduces the number of permutations  
24 of the forecast to focus on the combinations that the  
25 utilities, the ISO, and CPUC use for planning.

1           Next slide, please. (Coughs.) Excuse me.

2           The old forecast framework was designed to  
3 capture a range of possibilities in energy demand and was  
4 centered around economic and demographic uncertainty. To  
5 create the range of possibilities, the way the different  
6 components were combined resulted in some unlikely and un-  
7 useful combinations, and so most scenarios were not used.

8           Over the past few years, decarbonization and  
9 electrification strategies have been introducing more  
10 uncertainty into the forecast. To focus on capturing the  
11 range of possibilities with electrification, we've decided  
12 to simplify the forecast framework to analyze one set of  
13 baseline economic, demographic, and rate assumptions, and  
14 then use an additional achievable framework to look at  
15 different levels of energy efficiency, fuel substitution,  
16 and transportation electrification.

17           In addition to the change in the underlying  
18 framework, we've transitioned to a more descriptive naming  
19 convention for the main forecast sets.

20           Next slide, please.

21           And this is the forecast framework for 2022.  
22 Again, the biggest change is that we've eliminated the low  
23 and the high case to focus on the mid baseline forecast for  
24 the economic, demographic, and rate scenarios.

25           Similar to previous years, the mid-case has

1 different additional achievable scenarios added onto it,  
2 depending on the use case. We've moved away from the  
3 nomenclature of mid-mid and mid-low and refer to these  
4 based on their use cases. So the mid-mid is renamed as the  
5 Planning Forecast, and the mid-low is renamed as the Local  
6 Reliability Scenario.

7           The Planning Forecast is used for resource  
8 adequacy and used in the CPUC's Integrated Resource Plan.  
9 The Planning Forecast includes Scenario 3 from AAEE, AAFS,  
10 and AATE.

11           The Local Reliability Scenario has higher load  
12 than the Planning Forecast to take a more conservative  
13 approach in local planning studies, such as the  
14 transmission planning process at the ISO. It includes  
15 Scenario 2 for AAEE, which has less energy efficiency than  
16 Scenario 3, and Scenario 4 for AAFS which has more  
17 electrification than Scenario 3. And it also uses Scenario  
18 3 from AATE.

19           The Local Reliability Scenario also includes the  
20 SIP strategy for zero-emission space and water heating  
21 equipment sales after 2030, which is layered on top of AAFS  
22 Scenario 4. And all of these additional achievable layers  
23 were discussed at the workshop last week.

24           Next slide.

25           So more details around these updates to the

1 forecast framework, inputs, assumptions, and modeling  
2 methodologies were discussed at the Demand Analysis Working  
3 Group meetings, or DAWG meetings, held earlier this year.  
4 Presentations from those meetings are posted online, and  
5 there's a link at the bottom of this slide.

6 Next slide.

7 And here's the timeline for finishing up the  
8 forecast. So the Draft IEPR has already been posted. Due  
9 to the timing of posting the draft and the timing of  
10 completing the forecast, the forecast results are not in  
11 that draft, but they'll be added to the final version  
12 posted in February.

13 The draft results were docketed earlier this  
14 week. And comments, as Heather mentioned, comments for the  
15 December 7th workshop and today's workshop are due on  
16 December 30th, and we'll be finalizing the results based on  
17 those comments, as well as comments received today. And we  
18 will present those results for adoption at the January 25th  
19 business meeting. The Final IEPR will be proposed for  
20 adoption at the February business meeting.

21 Next slide, and this is my last slide.

22 Before we jump into the 2022 Forecast results, I  
23 wanted to give a teaser for the 2023 Forecast.

24 Building on the modifications to the forecast  
25 framework that we made this year, we'll be making some

1 additional updates. We will design scenarios for  
2 distributed generation and storage to continue to have  
3 something similar to the low, mid and high case that we had  
4 before for those technologies. And we also want to think  
5 through consistency between scenario designs and pairing  
6 scenario combinations that make sense.

7           Excuse me. Itchy throat.

8           For example, it may make sense to pair high  
9 adoption of fuel substitution with high adoption of solar  
10 and storage for some scenarios.

11           We are also very excited to have several new  
12 models under development. The first is an update to the  
13 residential sector end-use model, which, among other  
14 things, will incorporate the most recent residential  
15 appliance saturation study data. We are working with NREL  
16 to adapt their dGen model for California, and that will be  
17 an update to forecasting all of the distributed generation  
18 technologies and would improve our methodology for battery  
19 storage adoption. And the Transportation Team is working  
20 on updating the travel demand models that forecast vehicle  
21 miles traveled.

22           Lastly, we have a couple notable methodology  
23 updates.

24           We are working to procure behind-the-meter PV  
25 data, which we'll use to update the PV hourly generation

1 shapes. We have a contractor reviewing how we currently  
2 account for climate change in the forecast, and they will  
3 make recommendations on how to improve those methods, and  
4 how to leverage some of the new data and tools that are  
5 available.

6 With that, I will hand it over to Alex Lonsdale.  
7 Alex is a supervisor in the Demand Forecasting Unit, and he  
8 will present the consumption and sales results.

9 MR. LONSDALE: Thanks, Heidi.

10 Good afternoon Commissioners, stakeholders, and  
11 members of the public. Today, I'll be providing an  
12 overview of our 2022 California Energy Demand, Electricity,  
13 and Consumption Sales Forecasts.

14 Next slide.

15 Before reviewing electricity forecasts, I'd like  
16 to briefly review our new forecast framework. In addition,  
17 I'll provide details regarding the forecast products that  
18 will be docketed as part of our demand forecast.

19 Next slide.

20 As Heidi mentioned, for the 2022 IEPR Demand  
21 Forecast, we've refined our framework. Specifically, we  
22 eliminated the low and high baseline forecasts. Let's take  
23 a closer look at the following table.

24 The first row describes our baseline forecast.  
25 This is the building block in which we develop our managed

1 forecasts. Baseline forecasts do not include impacts from  
2 AATE, AAEE, and AAFS since these are components that  
3 differentiate a baseline sales projection to a managed  
4 forecast.

5 Row two describes our Planning Forecasts which  
6 incorporates our mid-case scenario impacts from AATE, AAEE,  
7 and AAFS. You'll note that we use colors to provide  
8 insight into our old forecast naming convention. The old  
9 forecast naming convention would be a mid-mid forecast,  
10 since we're using mid baseline assumptions and mid-  
11 additional achievable scenarios. As noted in the use case  
12 column, this managed forecast is intended to serve planning  
13 studies.

14 Finally, we move to row three of the table, the  
15 Local Reliability Scenario. In this case, the old forecast  
16 naming convention would be mid-low managed forecast. In  
17 other words, the mid baseline assumptions are accompanied  
18 by lower additional achievable energy efficiency savings  
19 and amplified impacts from fuel substitution. This  
20 forecast may serve local planning studies.

21 Next slide.

22 Next, I'd like to briefly touch base on our 2022  
23 California Energy Demand Forecast products.

24 For the 2022 forecast, we refined our annual  
25 baseline demand forms to include the following data: annual



1 electricity consumption sales forecast by planning area and  
2 sector; total energy to serve load by planning area;  
3 historic and extreme temperature peak demand for 1-in-2, 1-  
4 in-5, 1-in-10, and 1-in-20 extreme temperature  
5 probabilities; economic and demographic assumptions by  
6 planning area; and, finally, electricity rates by planning  
7 area. It's important to note that our annual and hourly  
8 managed forecast product details remain the same as last  
9 year.

10 Next slide.

11 Now that we're acclimated to the forecasting  
12 framework, we'll take a closer look at changes to our  
13 economic and demographic forecasts.

14 Next slide.

15 Here we can see the average annual percent growth  
16 in economic and demographic drivers from the time period of  
17 2021 to 2035. In the first column of the table, we have  
18 the economic and demographic driver. In the second column,  
19 we have the average annual percent growth from the 2021  
20 forecast. And in the third column, we have the average  
21 annual percent growth for this year's forecast.

22 The objective of showing you slight differences  
23 is to highlight how many of our key forecast drivers have  
24 not changed substantially relative to our previous  
25 forecasts. Detailed projections of several of these

1 economic and demographic drivers listed in this table were  
2 presented at DAWG in September this year. I encourage  
3 folks to review those graphs.

4           You'll note that the gross state product and  
5 number of households have slightly higher average annual  
6 growth rates, whereas the per capita personal income is  
7 down by about 0.1 percentage points.

8           Next slide.

9           Here we present the statewide average electricity  
10 rates. In the y-axis of the graph, we have cents per  
11 kilowatt hours in 2021 dollars. In the x-axis, we have two  
12 categorical variables. That includes calendar years  
13 spanning from 2021 to 2035 and the sector, agriculture,  
14 commercial, industrial, and residential. The light blue  
15 line is last year's statewide average electricity rate  
16 projections. The dark blue line is this year's  
17 projections.

18           Note that rates are calculated using updated  
19 revenue requirement projections and the sales forecast from  
20 the previous Demand Forecast iteration. These 2022 rates  
21 are based on the additional transportation electrification  
22 scenario that was adopted in May of 2022.

23           In general, our forecasted statewide average  
24 electricity rates in this year's forecast are lower than  
25 2021, as indicated in the chart. In addition, you'll note

1 that the forecasted growth rates are slightly flatter.

2           Ultimately, there are higher revenue  
3 requirements, which includes impacts from higher natural  
4 gas prices and higher grid infrastructure needs to support  
5 transportation electrification. However, the increase in  
6 revenue requirement is less than the increase in sales, so  
7 overall the rates have declined.

8           More details regarding our rate forecasts for  
9 2022 were provided by our lead rate forecaster, Lynn  
10 Marshall, during our DAWG, which took place in September of  
11 this year. I encourage folks to review those slides.

12           Next slide.

13           This concludes the overview of our economic and  
14 demographic projections. Next, we'll look at the 2022  
15 California energy demand baseline consumption results.

16           Next slide.

17           Before reviewing key takeaways, I'd like to  
18 orient the audience with the format of the line chart  
19 presented here, since it's consistent with the next several  
20 slides that are key in interpreting our results.

21           On the y-axis, we have electricity consumption  
22 presented in terawatt hours, and in the x-axes, we have  
23 calendar year, spanning from 1990 to 2035. The gray line  
24 indicates historic electricity consumption. The light blue  
25 line represents last year's mid electricity consumption

1 forecasts. And the dark blue line is this year's baseline  
2 projections.

3           Ultimately, residential electricity consumption  
4 is down in the near-term, relative to last year's forecast.  
5 The 2022 mid baseline average annual growth rate is 0.3  
6 percentage points higher than the 2021 Forecast, resulting  
7 in some long-term gains in forecasted electricity  
8 consumption. Changes to forecasted consumption is a  
9 product of the following: calibration to 2021 quarterly  
10 fuel and energy reporting data; revised transportation  
11 electricity demand forecast for this year; as well as  
12 slight changes to the economic and demographic drivers,  
13 including electricity rates.

14           Next slide.

15           Next, we have the statewide commercial  
16 electricity consumption. Overall, forecasted electricity  
17 consumption is higher than the 2021 baseline projections.  
18 The average annual growth rate remains relatively  
19 unchanged. Increased annual consumption can be attributed  
20 to calibration with the 2021 quarterly fuel and energy  
21 report consumption data.

22           Next slide.

23           Next, we have the industrial sector electricity  
24 consumption projections. Our electricity consumption trend  
25 remains unchanged from our 2021 mid baseline forecast.

1 However, the forecasted consumption values are calibrated  
2 to our 2021 Quarterly Fuel and Energy Report data, as  
3 indicated in the graph. The 2022 industrial electricity  
4 consumption forecast values are roughly 2.3 percentage  
5 points greater than the 2021 consumption forecast.

6 Next slide.

7 Here are the statewide agriculture and water  
8 pumping electricity consumption results. The 2022  
9 agriculture and water pumping forecast is slightly lower  
10 than the 2021 mid baseline projections. The annual average  
11 growth rate is approximately 0.2 percentage points higher  
12 in this year's forecast. You'll note that there's a slight  
13 uptick in the consumption between calendar years 2021 and  
14 2022 this year. This is a product of our pumping forecast.

15 Next slide.

16 Now that we looked at each sector's contribution  
17 to consumption, we can review the statewide electricity  
18 consumption results, the aggregate of the last few slides.

19 Higher electricity consumption is attributed to  
20 differences in each respective electricity sector,  
21 including transportation. The difference in average annual  
22 growth rates between this year's forecast and last year's  
23 forecast is approximately 0.1 percentage points.

24 Next slide.

25 Next, we'll take a look at the electricity

1 consumption by sector, noting that the commercial,  
2 residential, and industrial sectors contribute the most to  
3 electricity consumption in California. For 2022, the share  
4 of electricity consumption by sector remains relatively  
5 constant. However, commercial electricity consumption does  
6 grow from about 35 percent in 2021 to roughly 40 percent in  
7 2035, for about a 5 percent gain throughout the forecast.

8 Next slide.

9 Now that we've reviewed our electricity  
10 consumption projections, we'll review our self-generation  
11 forecast and electricity sales projections.

12 Next slide.

13 The following table shows the total electricity  
14 generated from self-generation resources, including solar  
15 PV. You'll note that many of our planning area growth  
16 rates are consistent with last year. This is a result of  
17 our modeling approach during the update cycle, which  
18 entailed calibration to historic self-generation capacity  
19 data that we collect through form 1304(b). Next year,  
20 during our full IEPR cycle, we'll be taking a more rigorous  
21 approach to our self-generation forecast by incorporating  
22 new modeling tools.

23 Next slide.

24 In addition to our average annual growth rates  
25 for self-generation, the total forecasted electricity

1 generated is very similar to last year's forecast.

2 Next slide.

3 Here are the statewide electricity forecasted  
4 sales projections. The objective of the following slide is  
5 to highlight the magnitude of impact that self-generation  
6 has on our forecasted electricity sales, hence why our  
7 self-generation values are reported as negative in this  
8 graph.

9 Without self-generation, our forecasted sales in  
10 2035 would be 68 terawatt hours, or about 23 percent higher  
11 than what's currently projected this year. In 2035, the  
12 statewide sales are up by about four percent relative to  
13 last year's sales projections.

14 Next slide.

15 Here are the statewide electricity forecasted  
16 managed sales projections. Again, in the y-axis, we have  
17 terawatt hours. In the x-axis we have years, spanning from  
18 calendar year 2022 to 2035. The gray line in this chart is  
19 last year's mid-midmanaged sales projections. The light  
20 blue line is this year's mid-mid or Planning Forecast  
21 managed sales projections. The dark blue line is the Local  
22 Reliability projections, or mid-low managed sales  
23 projections. Note that the addition of Additional  
24 Achievable Transportation Electrification to our managed  
25 forecast framework results in increased electricity sales

1 from transportation relative to baseline sales.

2 In 2035, the Local Reliability and planning  
3 managed sales projections reached 331 and 300 terawatt  
4 hours, respectively. To put things in perspective, the  
5 Local Reliability managed sales projections, the dark blue  
6 line, is 24 percent higher than the mid-mid managed sales  
7 projections, the gray line, in 2035.

8 Next slide.

9 Next, I'd like to provide more details in regards  
10 to managed sales projections and how our additional  
11 achievable load modifiers impact these projections.

12 The first chart on the left is specific to the  
13 Local Reliability Forecast. You'll note that the AAEE  
14 values, the dark blue portion of this stacked bar  
15 Chart, is negative since this measure reduces electricity  
16 sales.

17 The next portion of the stacked bar chart shows  
18 the incremental impact of AATE, Additional Achievable  
19 Transportation Electrification. As shown in the framework,  
20 we're using AATE Scenario 3 in both managed cases this  
21 year.

22 Next, the light blue portion of this chart shows  
23 the impact of additional achievable fuel substitution. In  
24 this case, we're using AAFS Scenario 4, which includes the  
25 impacts of CARB's State Implementation Plan for space and



1 water heaters.

2           Finally, the gold line cutting through the chart  
3 shows how the stacking of these load modifiers impacts  
4 sales. In early forecast years, you'll note that the  
5 energy efficiency impacts are greater than transportation,  
6 electrification, and fuel substitution, thus, the net AA  
7 impact is negative. However, in later forecast years, by  
8 2028 you'll note that the fuel substitution and  
9 transportation impacts outweigh energy efficiency, thus net  
10 AA impacts become positive, increasing sales.

11           You'll note that the net AA impacts in the Local  
12 Reliability Forecast reach about 41 terawatt hours in 2035.  
13 That's about 14 percent of total baseline electricity  
14 sales, or roughly 60 percent of the energy generated from  
15 self-generation resources.

16           Next, we'll take a closer look on the chart on  
17 the right, the Planning Forecast. You'll note that the  
18 fuel substitution impacts are substantially lower since  
19 we're not considering the CARB State Implementation Plan  
20 for space and water heaters.

21           You'll also note that the energy efficiency  
22 impacts are greater. By 2035, the energy efficiency  
23 impacts are almost double that of the impacts in the Local  
24 Reliability Forecast. Ultimately, the net AA impacts are  
25 substantially lower in the Planning Forecast. It's

1 important to note that the Planning Forecast's net AA  
2 impacts are about 9.3 terawatt hours in 2035.

3 Next slide.

4 Next, I would like to touch base on the magnitude  
5 of impact that transportation has on our forecasted managed  
6 sales.

7 The following bar chart compares the 2022  
8 Planning Forecast managed sales, the dark blue portion of  
9 the chart, to the incremental impacts of transportation  
10 electrification. I'd like to clarify, the gold portion of  
11 this bar chart includes the baseline transportation  
12 electricity impacts, as well as AATE Scenario 3, relative  
13 to the electricity consumption in calendar year 2021.  
14 Essentially, this is showing you the growth that  
15 transportation electrification has throughout the forecast,  
16 and its ultimate impact on managed sales.

17 By 2035, the forecasted incremental impact of  
18 transportation electrification is about 56 and a half  
19 terawatt hours. That's almost 19 percent of our managed  
20 sales in 2035.

21 Next slide.

22 And finally, we're going to look at sales  
23 projections for each of the planning areas.

24 I'm going to take a minute to just describe each  
25 line in this chart as it's consistent with the next several

1 slides. The dark blue line is our Local Reliability  
2 managed sales projections. The standard blue, or more  
3 electric blue, is the Planning Forecast managed sales  
4 projections. The orange line is the AATE managed sales  
5 projections that were adopted in May of 2022. The gold  
6 line is last year's mid-mid managed sales projection. And  
7 finally, the gray dash line is this year's baseline sales.

8 In the near term, you'll note that the 2022  
9 managed sales forecasts are less than baseline sales, which  
10 means the energy efficiency impacts are greater than fuel  
11 substitution and transportation electrification impacts.  
12 By 2031, however, the managed sales forecasts are past  
13 baseline. Again, that means that transportation  
14 electrification and fuel substitution load modifiers are  
15 greater than the impacts of energy efficiency.

16 Next slide.

17 And here we'll take a look at the sales  
18 projections for the SCE planning area. You'll note that  
19 the 2021 managed sales projections are about 1.2 percentage  
20 points greater than this year's baseline projections from  
21 calendar year 2022 to 2025. The lower baseline sales in  
22 the 2022 forecast relative to last year's managed sales  
23 projections is a product of calibration to the 2021  
24 quarterly Fuel and Energy Report electricity sales data.  
25 It's important to note that the long-term trends in the

1 2022 managed sales forecast are consistent with our  
2 statewide projections, where you'll note that the managed  
3 sales projections for both the Local Reliability and  
4 Planning Forecasts surpass the baseline by 2033.

5 Next slide.

6 Here are the SDG&E sales forecast results. I'd  
7 like to note that the first bullet point refers to an  
8 average percent difference. The average percent difference  
9 between the 2022 Planning Forecast and 2021 mid-mid sales  
10 projections is about 12 percent. However, the percent  
11 difference between these two projections in 2035 is 24  
12 percent. Increased difference between these projections  
13 can be attributed to increased baseline sales projections,  
14 as well as Additional Achievable Transportation  
15 Electrification.

16 Next slide.

17 Here are the sales projections for the SMUD  
18 planning area. You'll note that the AATE line has  
19 disappeared. That is because the AATE scenarios were  
20 specific to the IOU planning areas.

21 You'll also note that there are less managed  
22 sales relative to the baseline sales for the Planning  
23 Forecast throughout the entire forecast period. This is a  
24 result of amplified energy efficiency savings relative to  
25 transportation electrification and fuel substitution.

1           Next slide.

2           And finally, we have the LEDWP planning area  
3 results. Like SMUD, the 2022 Planning Forecast managed  
4 sales are lower than the baseline sales, except for  
5 calendar year 2035. Again, this has to do with the  
6 relationship between the three Additional Achievable Load  
7 Modifiers: energy efficiency, fuel substitution, and  
8 transportation electrification. I would note, though, that  
9 the Local Reliability managed sales projections surpass  
10 baseline by calendar year 2030.

11          Next slide.

12          And finally, I just want to thank all of the  
13 staff that have contributed to these forecasts in the  
14 Sector Modeling Unit, the Demand Forecasting Unit. We  
15 couldn't do it without all of their support. And just  
16 really want to thank the village that's behind this  
17 forecast and look forward to answering all the questions  
18 the dais has.

19               I've also provided my contact information for  
20 those that would like to reach out to me directly.

21               Thank you.

22               VICE CHAIR GUNDA: Okay. Thank you Alex and  
23 Heidi for those really thorough presentations.

24               I just want to commend the Division and the  
25 Forecasting Team on trying to simplify this extremely

1 nuanced work that we do in both the naming conventions, the  
2 way they're thinking about the different types of scenario  
3 construction moving forward. So just all around, I could  
4 see the evolution of the work over the last several years,  
5 but I do really want to call out Heidi, to you, and Nick.  
6 And I know Cary Garcia had input in kind of the reimagining  
7 the demand scenarios moving forward. So just a really  
8 wonderful job.

9           And Alex, I've kind of watched you kind of grow  
10 into this role. Just incredibly grateful and proud of the  
11 work you're doing.

12           So great. Awesome.

13           So let me kind of pull up a few questions that  
14 maybe -- Lynn maybe could jump in here. I'll start off  
15 with slide number seven on the deck from -- specifically  
16 looking at the rates.

17           So Lynn, if you could just help inform this.

18           So the normal kind of outdated conversation is  
19 that the rates are going to grow a lot moving forward. We  
20 had upward pressure on rates, and then we're working on a  
21 lot of stuff. And this is obviously for me at least  
22 counterintuitive. While it's counterintuitive, I also see  
23 the benefit of having lower rates, meaning higher  
24 consumption, which means we're planning for a more  
25 conservative situation. All that is good.

1           But just wanted to understand how we come here to  
2 this, and then what any feedback from PUC colleagues has  
3 been?

4           MS. MARSHALL: Yeah. Okay.

5           So first of all, so this graph only shows rates  
6 starting in 2021. So we're already starting from an  
7 extremely historically high place. So just between 2020  
8 and 2022, the nominal rates -- these are real rates, the  
9 inflation adjustment is quite large these days -- the  
10 nominal residential rates increase 20 percent in two years.  
11 So this 2021 value you're looking at, that's really high.  
12 And in part -- part of that's driven by growth and  
13 distribution investment, wildfire mitigation, et cetera.

14           The other contributing factor, 2021 and 2022, are  
15 really high energy prices, in part driven by high natural  
16 gas prices driving high wholesale, a tight capacity market.

17           Okay, so our Gas Team did an updated Natural Gas  
18 Price Outlook and they, like EIA and others, are  
19 forecasting that in 2023 we would start to see those  
20 natural gas prices decline. That leads to a decline in the  
21 energy prices. So at the very beginning of this, in 2023  
22 and 2024, that decline in procurement costs is taking us  
23 back down, procurement rates, back closer to where they  
24 were just a few years ago.

25           Now, going forward, as we get out past 2025, as

1 we add the additional ATE, that's really what's driving the  
2 long run rate forecast down. So we did add additional  
3 revenue requirements needed to support the investment, to  
4 support more transportation charging infrastructure, other  
5 distribution infrastructure. I will say those are very  
6 high-level estimates based on historic marginal cost  
7 trends. We don't yet have the grid-planning studies,  
8 engineering studies that we need to really quantify what  
9 that increase in investment will be needed to support  
10 electrification.

11 But that said, the assumptions that we are using,  
12 even accounting for that additional investment, the growth  
13 in transportation electrification more than offsets the  
14 increase in costs to support that growth. And the reason  
15 for that, particularly for the IOUs, because there are so  
16 many costs embedded in volumetric rates, really have  
17 nothing to do with the marginal cost of service; right? So  
18 when you have more electrification sales that kind of  
19 peanut butters those higher costs across more kilowatt  
20 hours, and it lowers the average rate.

21 So in the short term, to summarize, in the short  
22 term we're projecting lower procurement costs that are  
23 mitigating the growth. And in real terms, what we have  
24 between '22 and '23 is a leveling off of rates, of nominal  
25 rates, not a decrease. But then in the long run, growth in



1 transportation electrification really slows the rate of  
2 increase so that real rates are staying relatively  
3 constant, or only increasing slightly.

4           Now, I've gotten -- and I discussed it at the  
5 inputs and assumptions workshop last year -- people look at  
6 the CPUC staff's SB695 report and say, "Well, that's  
7 talking about these big rate increases." And yeah. And as  
8 I said, as of 2022, you know, we've had 20 percent in the  
9 last couple of years.

10           But what they do in that report, and I think it's  
11 very important that they do this, is that they assume that  
12 the IOUs will get every dollar that they have requested in  
13 their rate case applications; right? And I think it's  
14 important that the legislature and others see that this was  
15 what rates look like if all of these applications are  
16 approved. But of course, and the IOUs will be the first to  
17 say this, we never get everything we ask for, you know?  
18 They might ask for 15 percent, then they get, you know,  
19 five-and-a-half.

20           So, for example, the PG&E general rate case  
21 application, which is quite a significant request, I'm  
22 assuming a six-and-a-half percent revenue requirement  
23 increase, which is a little more, it's like a percentage  
24 more than what Edison was approved.

25           So that's the other big difference between those

1 two staff products. They just serve very different  
2 purposes.

3 VICE CHAIR GUNDA: Got it.

4 Thank you, Lynn. That's really, really helpful.

5 So I think -- not for this IEPR but moving  
6 forward, I think it might be helpful if we present it  
7 similarly, just a little bit of historical data, so that  
8 will become easier to see that kind of raised historical  
9 context.

10 But also I think to what you just explained, I  
11 just reminded myself, this is a statewide average so you  
12 see different projections, and then you're blending all the  
13 utilities here, so that's helpful.

14 Could you confirm that if we -- that the rates  
15 have a negative correlation with demand?

16 MS. MARSHALL: Yeah, that's generally true. We  
17 assume that in our forecast that, yeah, higher rates, lower  
18 demand. You know, particularly in our forecast models, the  
19 self-generation is particularly sensitive to rates. So we  
20 didn't actually rerun our self-gen models this time, but it  
21 definitely would predict more behind-the-meter investment  
22 if we have a higher rate forecast.

23 VICE CHAIR GUNDA: Right.

24 MS. MARSHALL: So yes.

25 VICE CHAIR GUNDA: Yeah, I think, so that's what

1 I want to leave there is like I know that the NEM decision  
2 was just voted out yesterday. The NEM decision will have a  
3 number of implications.

4 I would really like us to -- I mean, I understand  
5 the affordability, the rates are CPUC's domain and we defer  
6 to our colleagues from there. But to the extent that, you  
7 know, even in my eyes, which is not really educated in this  
8 area, you know, helping translate that a little bit,  
9 helping crosswalk, this is what you're seeing from PUC,  
10 this is why we do it this way, would really help moving  
11 forward.

12 So I would really request that we have a focused  
13 work on a workshop and a public hearing on rates next year  
14 as a part of our workshop, as a part of our IEPR. Just  
15 wanted to flag that.

16 MS. MARSHALL: Yeah, in particular in the NEM  
17 modeling context --

18 VICE CHAIR GUNDA: Yeah, exactly.

19 MS. MARSHALL: -- you know what I mean? Yeah.

20 I mean, to your point, you know, the sensitivity  
21 of, you know, the behind-the-meter, that suddenly puts a  
22 lot of pressure on the sales and the consumption. And we  
23 just want to make sure that we capture that well.

24 Great. So I have just one other question. I  
25 will pass it on to Commissioner Monahan after that.

1           Maybe, Lynn, this is again you. You're  
2 (indiscernible) where I go to. On the pumping load,  
3 statewide ag and water pumping load, you know, I'm just  
4 speaking to this from the context of reliability. So, I  
5 mean, I remember you educating us on the -- you know, as  
6 when we have the drought, you know, you have some loads  
7 that drop as they pertain to pumping, and some loads go up  
8 because of the groundwater pumping that is required,  
9 additional groundwater pumping.

10           I want to understand why we are seeing a  
11 reduction in, you know, in the overall pumping load moving  
12 forward, if you could add any context there compared to  
13 2021?

14           So that's slide number 12, Alex, if we could go  
15 to --

16           MS. MARSHALL: We'll go to the slide, please.

17           VICE CHAIR GUNDA: Right there. Yeah.

18           MS. MARSHALL: Yeah.

19           VICE CHAIR GUNDA: Like why was there -- I mean,  
20 like, I heard, you know, Alex saying that's related to  
21 pumping in 2022. But we just kind of go down again and  
22 flatline.

23           Again, two opportunities there for me. One is,  
24 what is causing that?

25           And second, you know, as we think through the

1 investments that we were given as an agency for reliability  
2 opportunity, we were hoping to capture some of that, you  
3 know, that demand right there, so wanted to understand, you  
4 know, the shape there a little bit better.

5 MS. MARSHALL: So generally for things like the  
6 DWR and MWD pumping, we're using a ten-year average to get  
7 approximation of normal conditions. But then we do have,  
8 for the ag sector, we have a specific Ag Forecast based on  
9 conditions in that sector.

10 And Alex, can you comment anything specifically  
11 on the ag sector results? Because that would be causing  
12 that slight drop between 2022 and 2023.

13 MR. LONSDALE: Yes, I can. Our lead ag  
14 forecaster, Nahid actually provided context to this ahead of  
15 the workshop, so as Nahid noted, the 2021 to 2022 jump is a  
16 result of the ten-year average that we're using, historic  
17 DWR and MWD electricity consumption. So relative to 2021,  
18 the historic average is substantially higher, so you've got  
19 an increase in consumption to 2022. That slight decrease  
20 from 2022 to 2023 is likely due to groundwater pumping  
21 assumptions and stabilizing the amount of electricity  
22 consumed from groundwater pumping.

23 So relative to 2022, we expect some of the  
24 groundwater pumping to decline, electricity consumption to  
25 decrease and stabilize throughout the rest of the forecast

1 period as those econometric drivers stabilize in these  
2 NAICS categories.

3 VICE CHAIR GUNDA: Great. So Alex, I want to  
4 again elevate this as an opportunity for us to think  
5 through in the next IEPR.

6 I think what it is, is that, you know, we are  
7 entering this new paradigm of, you know, much more frequent  
8 droughts and cyclical droughts where, you know, most of the  
9 work we're doing, our ability to capture what's going to  
10 occur based on medians is really departing; right? So to  
11 the extent that we could think through if there are any  
12 opportunities to improve, these elements would be really  
13 helpful.

14 You know, overall it's a small number but it's a  
15 mighty number from the opportunity of demand flexibility.  
16 So that's kind of where I'm kind of thinking, especially as  
17 we think through extraordinary measures for reliability  
18 purposes. So that would be really helpful if we could  
19 spend some time.

20 I mean, you guys have done a wonderful job, you  
21 know, responding to a lot of questions I had already, so  
22 thank you for that.

23 In the interest of time, I'll pass it to  
24 Commissioner Monahan first, and then if we have time again,  
25 we'll come back.

1           Thanks.

2           COMMISSIONER MONAHAN: Well, I'll be brief, Vice  
3 Chair Gunda, because you asked my big question, which is  
4 the rates question.

5           It seemed like, you know, given the en banc that  
6 we had earlier this year with the CPUC, and I believe CARB  
7 was there as well, that that was the most surprising piece  
8 to me was just -- and I was thinking about how it would be  
9 good, as you said, to include historical. And I would say  
10 it's also good to have the rates in, you know, real and  
11 nominal, because people's wages don't -- as we had this  
12 massive inflation, it's not like people's wages are  
13 increasing to match that. And just that personal impact is  
14 a real -- is something we should highlight.

15          VICE CHAIR GUNDA: Love that recommendation.  
16 Yeah. Absolutely.

17          MR. LONSDALE: Yes, thank you for that feedback,  
18 Commissioner Monahan.

19          VICE CHAIR GUNDA: I'm looking at the timeline  
20 here. Questions up to 2:10. We have ten minutes more and  
21 then we have questions from the public.

22          So let me just kind of squeeze in one more piece,  
23 if I may, just kind of going into the actual shape towards  
24 the end of the total results. I'm just looking at -- which  
25 one am I looking at? Yes, slide number 18.

1           So in this one, Alex, the dark blue line is  
2 inclusive; right? So it's inclusive of both the self-gen  
3 and the Additional Achievable elements, or no?

4           MR. LONSDALE: It does include self-gen because  
5 we calculate baseline sales, essentially taking consumption  
6 and subtracting self-generation impacts, but it doesn't --  
7 baseline sales do not include the Additional Achievable  
8 elements.

9           VICE CHAIR GUNDA: Okay. Got it. Okay, so this  
10 is the baseline one. Sorry.

11          MR. LONSDALE: Yeah.

12          VICE CHAIR GUNDA: Thank you.

13          MR. LONSDALE: So that would be like the gray  
14 dashed line in those managed sales charts for each of the  
15 IOU planning areas.

16          VICE CHAIR GUNDA: Awesome. Thank you.

17                 And then when you spoke about the slide number  
18 21, that one, I just wanted to see if the 21, right there,  
19 so that yellow stacks on the side are already in the blue  
20 stacks, or no? They are; right?

21          MR. LONSDALE: That is correct, yes.

22          VICE CHAIR GUNDA: Okay. Awesome. Okay.

23          MR. LONSDALE: Yes.

24          VICE CHAIR GUNDA: Thank you.

25          MR. LONSDALE: You're correct.



1           VICE CHAIR GUNDA: Yeah. And I think I just  
2 wanted to make sure, Alex, some of the things that you  
3 identified as some takeaways on every slide in terms of the  
4 percent changes are extremely helpful. I just want to, you  
5 know, ask you to capture them in the report, in the IEPR  
6 Report, just as some core takeaways, sector by sector or on  
7 the energy side.

8           So with that, I'll pass it to the Q&A.

9           Thank you so much, Alex. Wonderful job.

10          MR. LONSDALE: Thank you, Vice Chair.

11          MS. JAVANBAKHT: Alright. We've got two  
12 questions in the Q&A.

13                 The first one is just asking the difference  
14 between the Planning and the Local Reliability Scenarios,  
15 so I can give a quick overview of that.

16                 Again, the main difference is in the Additional  
17 Achievable scenarios for energy efficiency fuel  
18 substitution, which was presented at last week's workshop.  
19 So we haven't gone back over that today just for the  
20 interest of time.

21                 But at a very high level, the main difference is  
22 that the Local Reliability Scenario includes less energy  
23 efficiency, more building electrification, so more fuel  
24 substitution, and then it also includes the CARB's SIP  
25 measure that's been proposed, which is zero-emission space

1 and water heater sales starting in 2030. And that has,  
2 actually, quite a big, large -- quite a large impact on the  
3 forecast starting in 2030 compared to the Planning  
4 Forecast.

5 And then the second question I'm going to call on  
6 Quentin to answer. And this is about AATE Scenario 3.

7 Does that scenario make any assumptions about  
8 anticipated EV load growth?

9 MR. GEE: Hi. Yeah. This is Quentin Gee,  
10 supervisor of the Transportation Energy Forecasting Unit.

11 And yes, Heidi, Heidi Sickler, you're correct, or  
12 we do anticipate load growth associated with additional  
13 electric vehicles.

14 We discussed the framework and the results of  
15 that in last week's IEPR workshop, and I'm happy to send  
16 you a link if you want to email me. But basically, AATE  
17 Scenario 3 incorporates CARB's Advanced Clean Cars II  
18 policy, and does also incorporate the Advanced Clean Fleets  
19 policy, which is still in development, but we have some  
20 confidence that something like that will appear. So that  
21 was part of the advanced -- or excuse me, Additional  
22 Achievable Transportation Electrification Scenario 3  
23 framework.

24 MS. JAVANBAKHT: We've got another question.

25 How is -- well, this question is probably going

1 to be answered in our next presentation, but Quentin,  
2 I'll --

3 MR. GEE: Yeah. We'll get to that one.

4 MS. JAVANBAKHT: Yeah, so,  
5 "How is managed charging incorporated into the TE  
6 projections? Would midday fleet charging be offset by  
7 peak potentially curtailed solar load shifting with  
8 hybrid solar battery?"

9 MR. GEE: Yeah. Well, so maybe I should clarify  
10 that we will discuss possibilities with that upcoming. But  
11 we do not incorporate those in this IEPR Forecast and  
12 Planning Scenario framework. Those are very important, and  
13 we anticipate integrating those in in future products.

14 MS. JAVANBAKHT: And another question on  
15 transportation. It's the most popular topic.

16 "Is it possible to get the actual medium- and  
17 heavy-duty vehicle count forecast that was used in the  
18 AATE scenario for 2030, and also for the individual PA  
19 load forecasts?"

20 MR. GEE : Yeah. So we do have the charts in the  
21 slides that we presented in last week's IEPR Forecast  
22 workshop.

23 If you want more precise numbers, you could email  
24 me, and we could come up with sort of the numbers behind  
25 that -- not come up with but pull the numbers out of the

1 chart and give them to you.

2 MS. JAVANBAKHT: And Quentin, is this something  
3 that you're hoping to post to the Planning Library  
4 eventually?

5 MR. GEE : Yeah. Yeah, I was.

6 MS. JAVANBAKHT: I'm just going to give a  
7 shoutout to the Planning Library.

8 MR. GEE : I thought about that for a second and  
9 then pulled back. But, yeah, that's true.

10 Actually, Vice Chair Gunda has been talking about  
11 this, I think, on various occasions. And I think, Heidi,  
12 you also mentioned this. We are working on the California  
13 Planning Library and -- or the Energy Planning Library.  
14 And one of the things that we're hoping to get in there is  
15 some kind of way for people to sort of get the data  
16 directly and kind of explore it and work with it.

17 We're in the process of developing those kinds of  
18 products so that they're usable for the public. But, yeah,  
19 that's something that we plan to get in there.

20 If you want the kind of raw numbers behind the  
21 charts, I can also just sort of get those values out to  
22 folks, as well, if they want to email me.

23 MS. JAVANBAKHT: Thanks, Quentin.

24 And Alex, I think this next question is for you.

25 "How will CEC be monitoring self-generation

1 trends after April 2023?"

2 MR. LONSDALE: Well, for self-generation trends,  
3 we're going to look to our interconnection data to see how  
4 systems are being interconnected by different LSEs. We're  
5 going to be continually monitoring that data and updating  
6 it to make sure we're keeping our pulse on how systems  
7 are -- what size the systems are being adopted in sectors,  
8 how large those systems are, and where they're located  
9 within California.

10 MS. JAVANBAKHT: And there are no other questions  
11 in the Q&A.

12 Heather, should I turn it back to you?

13 VICE CHAIR GUNDA: Hey Heidi, as Heather's coming  
14 on, I do want to just request one thing.

15 So again, first, to not -- or to elevate and say  
16 how wonderful the presentation style has evolved in the  
17 work that we do. It is extremely complicated in terms of,  
18 you know, how many layers are in there and how we account  
19 for different things.

20 I would challenge ourselves as a team to come up  
21 with a visual that's animated, or however, that shows how  
22 we go stepwise on this, you know, construction of, you  
23 know, reconstituting the kind of behind-the-meter things  
24 back from sales to develop the consumption, and then how  
25 you go from consumption to sector-wide, and then to remove

1 the different load modifiers, sort of add them.

2 I think it would be really helpful to have a  
3 visual so people can track this, especially those coming on  
4 into this process, you know, so that will be really helpful  
5 if we can do that as a part of next year.

6 MS. JAVANBAKHT: Yeah, sure. We'll work on that.

7 MS. RAITT: Great. Heidi, this is Heather. I  
8 think we've gotten through all the questions.

9 MS. JAVANBAKHT: Yeah, I don't see any questions.

10 MS. RAITT: No more questions. Super.

11 So then we can now, Quentin, officially move on  
12 to your presentation. Quentin Gee from the Energy  
13 Commission, go ahead.

14 MR. GEE: Okay, great.

15 Apparently my background was showing backwards,  
16 but it wasn't showing backwards to me, but I'll take it  
17 off. I'm sorry about that.

18 Hi again. My name is Quentin Gee. I'm the  
19 Acting Manager for the Advanced Electrification Analysis  
20 Branch in the Energy Assessments Division, and I'm also the  
21 Supervisor for the Transportation Energy Forecasting Unit.

22 Next slide.

23 I've got some just kind of brief information  
24 here. We presented the bulk of our work in last week's  
25 IEPR workshop where we showed the sort of the baseline

1 forecast for light-duty vehicles, baseline forecast for  
2 medium- and heavy-duty vehicles, and then also discussed  
3 the Additional Achievable Transportation Electrification  
4 framework and the results from those as well.

5           From here, in this context, I was hoping to just  
6 kind of explore a little bit more on the transportation  
7 electricity demand load shapes. So here what we're looking  
8 at is the AATE 3, the Additional Achievable Transportation  
9 Electrification Scenario 3 results, in the hourly form.  
10 And here what we've done is we've grabbed a summer day and  
11 sort of showed the load shape there.

12           We've explored the way in which these load shapes  
13 are developed in past workshops and Demand Analysis Working  
14 Group sessions. But roughly what happens is we take the  
15 annual electricity demand associated with, in this case,  
16 say light-duty and medium- and heavy-duty. We have input  
17 sort of load shapes that we have from different work  
18 products from Lawrence Berkeley National Lab, and also from  
19 some data that we have from a few years ago showing light-  
20 duty and medium- and heavy-duty charging patterns.

21           And from there, what we do is we take a look at  
22 the time-of-use rates and integrate those across different  
23 utility territories and assign a sensitivity factor, or  
24 elasticity, that modifies charging demand hourly based on  
25 the price of electricity at given times.

1           And in particular what we would say is, you know,  
2 generally you're kind of 4:00 to 9:00 p.m. -- depending on  
3 the utility territory you're in -- but 4:00 to 9:00 p.m.  
4 tends to be one of the time periods where we're looking at  
5 sort of the higher rates. But then outside of those  
6 periods is a tremendous opportunity for drivers to save  
7 quite a bit of money in terms of the cost for charging.

8           And so what our model does, and we have, again,  
9 we have some work documenting this, and happy to share that  
10 if folks are curious to learn more about it, but we  
11 basically take this and run it in a pretty sophisticated  
12 model that comes out with these charging load shapes. And  
13 here what we can see is during those peak periods we have  
14 fairly low demand, and then that's made up for periods --  
15 made up by periods in other times of the day.

16           So this is something that actually goes into the  
17 planning products and is really useful in terms of  
18 evaluating, you know, what -- how does transportation  
19 electrification, how do we expect it to impact the grid in  
20 the future?

21           We've had a lot of questions from that,  
22 especially relating to some of the energy topics and issues  
23 that came up last summer. But we're looking at anywhere  
24 sort of around five-ish or so percent during peak time  
25 periods in 2030. Nick Fugate will talk more about that.



1           One caveat that I would want to point out on this  
2 is that this model is based on time-of-use rates that we  
3 have from utilities. Utilities only really, you know,  
4 present or apply and get the time-of-use rates adopted sort  
5 of for about, you know, four to six years or so out. And  
6 so we do not have the actual time-of-use rates for 2030.

7           So we know that utilities are roughly interested  
8 in trying to adjust their time-of-use rates to optimize  
9 their grid planning and help consumers save more money, but  
10 certainly we can't say that these are the time-of-use rates  
11 in 2030 and this is exactly what the model would look like.

12           But it also can be informative. You'll notice  
13 there in hour 21, or around 9:00 p.m., that's when a lot of  
14 time-of-use rates either go to off-peak or they go to some  
15 sort of mid-peak. And our model shows that there can be a  
16 little bit of a bump there during that time period. And  
17 that could be informative for some time-of-use rate  
18 planning.

19           Next slide.

20           So the next thing that I wanted to discuss here  
21 is the sort of additional opportunities that we want to  
22 look at. We do have an order instituting informational  
23 proceeding on distributed energy resources, and part of  
24 that involves analysis of electric vehicles as distributed  
25 energy resources.

1           And so as I just showed in the slide before, you  
2 know, we have time-of-use rates that do impact load shapes  
3 and are likely to sort of help consumers save money, and  
4 then also keep the grid sort of in a reasonable balance  
5 there. But there are some other opportunities. And what  
6 we're hoping to do is explore these in a workshop in early  
7 2023.

8           So some key technologies that we can sort of --  
9 or key opportunities that I would say we'd want to take a  
10 look at here are vehicle-to-grid. Vehicle-to-grid is where  
11 the driver will actually export energy onto the grid and  
12 use that as a potential opportunity to make some money.

13           There's also vehicle-to-building where someone  
14 might sort of view themselves as wanting to take advantage  
15 of the battery in their vehicle and run their house off of  
16 the battery rather than off of the grid, particularly at  
17 times of time-of-use.

18           And then we also have two other opportunities as  
19 well that we want to take a look at.

20           Managed charging. Managed charging is sort of  
21 where you roughly set a kind of, you know, 7:00 a.m. I want  
22 to wake up and have a car at 100 percent or maybe 85  
23 percent state-of-charge. Whatever it is you say ahead of  
24 time you want. And what happens is that you have an  
25 operator or a system or some kind of software that will

1 allow it to kind of optimize and get you the lowest rates  
2 by being flexible throughout that sort of eight-hour period  
3 while you're asleep and that can allow you to save more  
4 money.

5           And then finally, there's also demand response,  
6 where similar to managed charging where you're getting  
7 signals, there might be a signal that says, hey, you know,  
8 we'll pay you X amount of money to, you know, just sort of  
9 drop off your demand for a little while and it can come on  
10 later. And if you have it set up to where, you know, it  
11 doesn't matter as long as you wake up with a certain amount  
12 of battery that you want in your car, it should be good  
13 there.

14           These are things that -- these are technologies  
15 and opportunities that we think could have a pretty big  
16 role in what the load shapes will look like in the future.  
17 But a lot of stuff right now sort of looking at technical  
18 potential, but also kind of looking at what are the kinds  
19 of policies and programs that might be out there to help  
20 with this, and also help the grid at the same time.

21           So that's the kind of rough-rough take on the  
22 load shapes and additional opportunities for where load  
23 shapes might be changing in the future for transportation  
24 electrification.

25           I think with that, Nick Fugate has a little bit

1 more to discuss on hourly outside of transportation  
2 electrification. So I'll pass it on to Nick Fugate, who is  
3 the load shape -- Hourly and Peak Load Shape Analyst.

4 Nick?

5 MR. FUGATE: Thank you, Quentin.

6 Good afternoon. I'm Nick Fugate and I've  
7 prepared a presentation here on the draft results of our  
8 Hourly and Peak Electricity Demand Forecast for this 2022  
9 IEPR Update.

10 Before we start, I just also want to offer my  
11 thanks to everyone for their time and attention today,  
12 especially with the late change to our workshop schedule on  
13 Friday afternoon, part two.

14 So let's go to the next slide.

15 So the Energy Commission's peak forecasts are  
16 used as a direct input to resource reliability and  
17 transmission studies. Specific use cases for the Planning  
18 and Local Reliability Scenarios that we are presenting  
19 today, they're outlined in detail as part of the single  
20 forecast set agreement between the CEC, the CPUC, and the  
21 CAISO. And this agreement evolves year to year, or can  
22 evolve, but it's always memorialized within the forecast  
23 chapter of our IEPR report.

24 I'm going to present today the Peak Forecasts,  
25 but I will also be discussing updates to our hourly model

1 as the peak results are derived from our hourly model.

2 Let's go to the next slide.

3 I imagine by now I don't need to say too much  
4 about the motivation for using an hourly model demand  
5 modifiers like PV, storage, EV charging, building  
6 electrification now. These can have an impact not just on  
7 the rate of peak load growth but also the timing, and the  
8 timing of the peak hour and the magnitude of system ramps.

9 Next slide.

10 The structure of our Hourly Load Model,  
11 abbreviated HLM, it's unchanged from last cycle. We apply  
12 a base load profile to our annual consumption forecast.

13 And here, "consumption" is in quotes because this  
14 doesn't represent actual total consumption, but rather  
15 utility sales minus pump load plus behind-the-meter PV  
16 generation. So what we're trying to model is the portion  
17 of load that is responsive to things like weather and  
18 economic and demographic drivers.

19 For the forecast years, we then layer incremental  
20 load modifier impacts on top of that base profile. Impacts  
21 from climate change, electric vehicle charging, behind-the-  
22 meter PV efficiency, and fuel substitution, these are  
23 estimated separately as they are expected to alter the  
24 shape of the system profile over time.

25 And then finally, we calibrate the base profile

1 such that the resulting maximum value aligns with our  
2 weather normal estimate of peak load in the first year of  
3 the forecast.

4 Let's go to the next slide.

5 So I won't say a lot about this. Heidi already  
6 talked about it. Alex talked about it. Moving to a new  
7 forecast framework, so, essentially, the Planning Scenario  
8 that we're presenting here is equivalent to the mid-mid  
9 scenario that we previously developed, and the Local  
10 Reliability Scenarios that we're now calling what we used  
11 to refer to as the mid-low scenario. And just to be sort  
12 of specific about the use cases, specifically that Local  
13 Reliability Scenario is intended for use in CAISO's TPP and  
14 RA local capacity studies.

15 So as far as updates to the forecast are  
16 concerned, we have a new Annual Consumption Forecast, which  
17 Alex just spoke to. This is a foundational input to the  
18 hourly model.

19 We also have new Additional Achievable Fuel  
20 Substitution impacts feeding into specifically our Local  
21 Reliability Scenario. These include the ARB's new State  
22 Implementation Plan rules around space and water heating.  
23 And again, Ingrid Neumann discussed these during part one  
24 of our forecast results workshop last week. And at that  
25 same workshop, our Transportation Team presented their

1 updated forecast for electric vehicle adoption and  
2 charging.

3           And, as always, we have one more summer's worth  
4 of load data that we have incorporated into our weather  
5 normalization peak estimate.

6           Let's go to the next slide.

7           So I'm actually going to start with our weather  
8 normal peak estimate.

9           Next slide.

10           So I don't think I'm breaking any news here when  
11 I say that the summer of 2022 had some particularly hot  
12 days. CAISO set a new record for peak system load, the  
13 previous record having been set in 2006, which I actually  
14 remember; that was the year I moved to Sacramento from the  
15 Bay Area, and I did not know how I was going to live here  
16 in this oppressive heat.

17           Anyway, I've plotted here an average temperature  
18 index for CAISO over the last 30 summers. This index is in  
19 a direct input into our model, so we just use it to put  
20 some historical context around a particular heat event.

21           The blue highlighted line is 2022, and you can  
22 see that September 6th was the third hottest event in the  
23 last 30 years based on this statistic in particular. And I  
24 have to caveat that because it takes into account only the  
25 single-day temperature. So start looking at temperatures

1 over consecutive days, that ranking might not hold. 2022  
2 starts looking even more extreme.

3 But examining just the single peak day index in  
4 the context of the last 30 years, Staff's analysis  
5 characterized this as a 1-year-in-27 event.

6 Next slide, please.

7 So we calibrate our model results to the most  
8 recent year of historical load. But peak load is highly  
9 sensitive to temperature and our hourly forecast assumes  
10 normal or 1-in-2 weather conditions. So it's important  
11 that we not calibrate our results to an extreme load event,  
12 like what we saw this summer, and instead we need a  
13 counterfactual estimate of peak load which takes into  
14 account the recently observed load response to temperature  
15 but then assumes normal peak weather conditions.

16 And to illustrate that point, I've plotted daily  
17 peak load here against a weighted average temperature  
18 statistic for our San Diego Gas and Electric planning area.  
19 Here the slope of the lines would give some rough intuition  
20 around the load response to temperature in each particular  
21 year. And the vertical position of each line can give some  
22 insight into absolute peak load growth.

23 And looking at this chart, you might expect that  
24 the weather normal estimate for 2022 would be higher than  
25 the 2021 estimate. And when I get to the results of this



1 analysis in a few slides, you'll see that that is the case.

2 Next slide, please.

3 So having established that load temperature  
4 relationship, we need to assess that relationship under  
5 normal peak conditions. And this raises the obvious  
6 question of what normal actually means in the context of a  
7 changing climate.

8 Here I've created two density plots showing the  
9 distribution of annual peak values for that CAISO  
10 temperature index I discussed earlier. The blue plot is  
11 based off of the last 30 years of weather history, which is  
12 the window we have traditionally used to establish normal  
13 conditions. And the orange plot is based on just the  
14 latest 20 years.

15 When we talk about normal conditions, we have in  
16 mind that 50th percentile, the point in the distribution  
17 where you're equally likely to fall above or below. And  
18 you can see that truncating the historical window skews the  
19 distribution to the right, leading to slightly higher  
20 normal value. For median, the increase in the 95th  
21 percentile, or what we call the one-year-in-20 conditions,  
22 is more significant, implying that temperatures that used  
23 to be highly unlikely are becoming more common.

24 As an example, Staff took another look at that  
25 September 6th heat event from the summer. I mentioned

1 earlier that it ranked as a 1-in-27 occurrence when we  
2 looked at it in the context of 30 years. But when we  
3 examine it through the lens of just 20 years, the most  
4 recent 20-year window, it looks more like a 1-in-14 event.

5           During the 2021 IEPR cycle, we took some interim  
6 steps to account for this warming trend in our  
7 normalization analysis, retaining the 30-year window but  
8 assigning greater weight to more recent years. And we  
9 continue this for the 2022 update.

10           But looking ahead to the 2023 IEPR, we're  
11 expecting to be able to leverage newly available climate  
12 modeling results to improve our estimate of normal and  
13 extreme weather. Heidi alluded to this in her  
14 presentation, but we're currently engaged with Eagle Rock  
15 Analytics who are developing some analytical tools for this  
16 purpose. And I have to thank our Energy Research and  
17 Development Division for their enthusiastic support on this  
18 work.

19           Next slide, please.

20           So to review our specific process at a high level  
21 before I show the results, to normalize peak load we start  
22 with hourly system loads from CAISO and we add to that  
23 estimated impacts of load reduction events. These could be  
24 call programs for voluntary conservation during Flex  
25 Alerts, as examples.

1           These estimates come to us from the IOUs and from  
2 CAISO. We do this because dispatchable demand response is  
3 considered on the resource side of the balance sheet, and  
4 so we don't want to double-count those impacts by embedding  
5 them in the forecast.

6           As far as weather data goes, we have a number of  
7 weather stations located across the state that we weight to  
8 create a single set of daily statistics for each planning  
9 area.

10           Once we have our counterfactual loads, we select  
11 the peak load day for each of the last three summers, and  
12 we regress those against weather effects such as maximum  
13 and minimum daily temperatures, calendar effects such as  
14 days of the week, month, and year. We do this to establish  
15 that load response temperature, and then we use the  
16 regression models to simulate peak loads using historical  
17 weather data from the last 30 years. And it's during this  
18 simulation step, as I mentioned previously, that we have  
19 been drawing more frequently from recent weather patterns.

20           And from this resulting set of simulations, we  
21 take the maximum values and select the median from those  
22 maximums as our normal estimate.

23           Next slide, please.

24           So here are the results of this process. On the  
25 left side here, the left column for each of the IOU

1 planning areas, we have the recorded peak load on the left.  
2 And then we have the counterfactual peak load, that I  
3 mentioned, we get by adding the load reduction impacts to  
4 the recorded load. Then we are showing the weather normal  
5 peak estimate for each planning area. And then for  
6 comparison purposes, I've also included the weather normal  
7 estimate from last year's cycle, CED 2021.

8           And you can see for PG&E and SCE, the normal  
9 estimate is about one percent lower than last year's, and  
10 SDG&E's is almost three percent higher. The method is  
11 unchanged, so this is mostly a result of dropping 2019 from  
12 the set of historical years used to estimate the regression  
13 models. For PG&E and SCE, 2019 was contributing to a  
14 slightly greater load response. For SDG&E, 2019 was  
15 actually contributing to a slightly lower response. But  
16 then also for SDG&E specifically, there appeared to be just  
17 an absolute load increase across all temperatures in 2022  
18 relative to 2021.

19           Next slide, please.

20           So for the update, most of the load modifiers are  
21 consistent with the 2021 Forecast. The notable changes  
22 results -- sorry, revolved around fuel substitution and  
23 transportation electrification.

24           Next slide.

25           I did want to show the relative contribution from

1 each load modifier during the CAISO system peak hour, which  
2 is projected to occur in early September. I'm also just  
3 happy to have a reason to make a waterfall chart.

4           So specifically, this is showing the incremental  
5 impact in hour 19 from modifiers added over the forecast  
6 period, so the impacts in 2035 relative to our 2021 base  
7 year, and this is for our Planning Scenario. And here you  
8 can see the greatest contributions are coming from electric  
9 vehicle charging increasing load by nearly 4,400 megawatts,  
10 and then energy efficiency reducing load by over 2,400  
11 megawatts. The net impact from all load modifiers reaches  
12 almost 1,900 megawatts.

13           Next slide.

14           And here's a similar chart but for the Local  
15 Reliability Scenario. And you can see the reduced  
16 contribution from efficiency, so roughly 1,000 megawatts  
17 less than in the Planning Scenario, and the significantly  
18 increased contribution from fuel substitution, so another  
19 3,000 megawatts of AAFS on top of the Planning Scenario.  
20 Although space conditioning contributes less to fuel  
21 substitution impacts during the summer months, the SIP  
22 measures still include a significant amount of water  
23 heating impacts.

24           Next slide.

25           So here I'm showing the evolution of the CAISO

1 peak day profile over the forecast period, specifically for  
2 the Planning Scenario. Behind-the-meter solar continues to  
3 slow load growth in the midday hours. The most significant  
4 load growth happens in the late evening and early morning  
5 driven by electric vehicle charging. The evening ramp  
6 becomes quite steep and the afternoon-evening ramp becomes  
7 quite long as the -- I'm sorry -- becomes quite long as the  
8 initial relatively flat peak period grows to a pronounced  
9 peak at hour 19.

10 Next slide.

11 For the Local Reliability Scenario, the annual  
12 CAISO peak is still projected to occur in September, but I  
13 wanted to show that the impact that Additional Achievable  
14 Fuel Substitution has on the CAISO winter peak. This is  
15 the most extreme day in February, and you can see that fuel  
16 substitution measures push load to 50,000 megawatts at 8:00  
17 a.m. And on today's system, that's on par with a very  
18 extreme summer peak.

19 Next slide.

20 I have a few slides here on electric vehicle  
21 charging that will hopefully provide some context for the  
22 annual peak results, which I'll show next.

23 This one is a plot of annual energy for vehicle  
24 charging, which compares the forecast update with last  
25 year's vintage. The legend shows five scenarios, but the

1 Planning and Local Reliability Scenario assume the same  
2 levels of vehicle charging, and the same is true with the  
3 mid-mid and mid-low from last cycle.

4 In May, however, I mentioned the Commission did  
5 adopt that Interim Scenario that assumed increased electric  
6 vehicle charging from the ARB plans. This is the ATE  
7 scenario here, the Additional Transportation  
8 Electrification Scenario, so we'll be making comparisons  
9 between the current Planning Scenario and the ATE.

10 So I wanted to note here that our updated Vehicle  
11 Charging Forecast is down relative to the ATE scenario.  
12 Our Transportation Forecast Team discussed this at last  
13 week's workshop. It's generally due to increased  
14 assumptions around fuel economy, reduced VMT, and reduced  
15 charging for plug-in hybrid vehicles.

16 Next slide.

17 Our Transportation Team also updated TOU rate  
18 assumptions, as Quentin mentioned, and these are used to  
19 calculate elasticity adjustments to our base charging  
20 profiles. Here I'm showing a normalized summer daily  
21 charging pattern for PG&E for both this cycle and last.  
22 The percentage difference between peak and off-peak rates  
23 narrows for this forecast, which has the effect of shifting  
24 less load away from the peak window. And to say that  
25 another way, more charging happens during the peak window

1 and generally less is happening off-peak.

2 Next slide.

3 And this chart shows the combined impact of both  
4 of these sets of changes, the reduced annual energy and  
5 revised charging profile. There is a similar level of EV  
6 charging happening during hours 16 through 20, but the ATE  
7 Scenario projected significantly more charging during hour  
8 21. And this was actually enough to push the PG&E system  
9 peak from hour 19 to hour 21 in the later years of the ATE  
10 Scenario. For this forecast, however, the PG&E system peak  
11 remains at hour 19.

12 Next slide.

13 So keeping that in mind, let's take a look at the  
14 planning area annual peak results.

15 Next slide.

16 For PG&E, annual peak load in the Planning  
17 Scenario grows at 1.3 percent annually. This is clearly  
18 lower than the ATE Scenario from last cycle which has  
19 significant growth in the later years of the forecast due  
20 to that shift to hour 21.

21 The Reliability Scenario grows at 1.8 percent  
22 annually, and by 2035 the difference between the Planning  
23 Scenario and the Local Reliability Scenario is about 1,800  
24 megawatts, much larger than the difference between last  
25 cycle's mid-mid and mid-low scenarios.



1           Because it's important for resource adequacy, I  
2 have made a note here that by 2024, the Planning Scenario  
3 annual peak is two-tenths of a percent lower than the CED  
4 2021 mid-mid, so not much change there.

5           Next slide, please.

6           For the SCE planning area, the peak shift is  
7 projected to occur on a later timeline relative to the  
8 other IOU planning areas, shifting from hour 16 to 17 in  
9 2026, and then to hour 19 in 2030. Unlike PG&E, the  
10 additional electrification load present in hour 21 of the  
11 ATE scenario was not enough to shift the peak hour any  
12 later than hour 19, so consequently, the CED 2022 Planning  
13 Scenario aligns very closely with the ATE from last cycle.

14           Annual growth is 0.8 and 1.3 percent for the  
15 Planning and Local Reliability Scenarios, respectively. By  
16 2035, the difference between the two is nearly 1,800  
17 megawatts. And in 2024, there is almost now -- sorry,  
18 almost no difference between the Planning Scenario and the  
19 mid-mid from last cycle, just a 0.1 percent increase.

20           Next slide.

21           For the SDG&E planning area, you can see the  
22 near-term impact at the higher weather normal starting  
23 point. This translates to a 1.5 percent increase in the  
24 Planning Scenario over the previous mid-mid scenario by  
25 2024.

1           There was a similar phenomenon in the ATE  
2 Scenario for SDG&E, similar to what I discussed with PG&E  
3 where the vehicle electrification pushed the peak hour from  
4 19 to 21 in the later years of the forecast. And this  
5 actually still happens here in the Planning Scenario, but  
6 just at the very end of the forecast, which is why you see  
7 that uptick in the last year.

8           Growth rates are 1.2 percent and 1.8 percent  
9 annually for the Planning and Local Reliability Scenarios,  
10 and the delta is 2035 -- I'm sorry, the delta in 2035  
11 reaches nearly 400 megawatts.

12           Next slide.

13           And finally, here we have the CAISO Coincident  
14 System Peak Forecast. Similar to what we saw in the SCE  
15 planning area, we're closely aligned with the previously  
16 adopted ATE scenario. In both cases, the peak is expected  
17 to shift to hour 19 early in the forecast and remain there  
18 throughout. Growth is 1.3 percent and 1.9 percent annually  
19 for the Planning and Reliability Scenarios. And the delta  
20 between the two reaches is nearly 4,000 megawatts by 2035.  
21 And in 2024, there is a small 0.3 percent increase in the  
22 Planning Scenario relative to the previous mid-mid.

23           Next slide.

24           So this is not a comprehensive list of updates  
25 for next year's forecast. I just want to flag a couple new

1 data products we are anticipating that will have  
2 implications for our hourly modeling.

3           First, we're attempting to procure on-site  
4 generation data from a large set of metered PV systems.  
5 We've discussed our PV generation profiles at past  
6 workshops. Our forecast profiles are based on meter  
7 generation, but from a relatively small sample of older  
8 systems, actually, systems that were installed at a time  
9 when it was much more important for the system to be south-  
10 facing if it was going to be cost-effective, and that's not  
11 really the case anymore. This is anecdotal, but I can look  
12 out my window right here and see my neighbor's array of  
13 northwest-facing panels.

14           So this data should allow us to ground-truth our  
15 forecast generation profiles. It should also improve our  
16 historical reconstitution of hourly consumption, which is  
17 important for estimating our hourly model. And it may open  
18 up some options for improving our weather normalization  
19 process, specifically as it relates to the hourly model.  
20 There are some days in areas where cloud or smoke cover may  
21 be contributing to daily peak load and, by consequence,  
22 reducing behind-the-meter generation.

23           There is also some evidence that customers with  
24 PV are more likely to run their AC systems more on  
25 particularly hot days, just because they have the system

1 and feel like that's covering the load. And having actual  
2 meter generation will help us explore these types of  
3 questions, so looking forward to that.

4 And then secondly, I touched on this already in  
5 another slide but we're excited to begin incorporating a  
6 new round of climate modeling results into our forecast.  
7 This should be relatively straightforward to update our  
8 previous climate change impact analysis, but there are a  
9 number of other questions we are interested in answering.

10 And one of our first priorities will be to  
11 leverage the climate data to improve our understanding of  
12 normal and extreme weather conditions. And so we're  
13 looking forward to discussing our thoughts on this early  
14 next year ahead of the 2023 IEPR.

15 Next slide.

16 But before we start work on the 2023 IEPR, we  
17 have to close out this forecast update, so this involves  
18 docketing all of our draft results, which we've already  
19 done for the hourly and peak forecasts. You can see all  
20 the data that I've presented here today on our IEPR  
21 website, specifically under the documents heading of  
22 today's meeting page. But we will also try to make as much  
23 available early next week as we can, perhaps even some of  
24 what was asked for on this at this meeting today already.

25 Stakeholder comments are due December 30th. And

1 after considering feedback, our plan is to take the final  
2 forecast to the January 25th business meeting to request  
3 adoption.

4 I also want to mention that we will be posting  
5 documents to the CEC's Planning Library, at least that's  
6 the intention, beginning with this forecast.

7 We're still deliberating a bit internally on the  
8 best way to make our forecast detail available. We still  
9 plan to produce our standard forms for the time being, but  
10 we will also be looking to make load modifier and hourly  
11 detail available in a way that's both easy for us to  
12 produce and also easy for stakeholders to consume.

13 And I'll flag right now that the peak file I  
14 posted is a little different than what I have posted  
15 previously. The file contained just -- the previous file  
16 contained just annual and monthly coincident and non-  
17 coincident peaks. What I posted this time looks much  
18 more -- look more like the data set that I used to develop  
19 this presentation. It retains the hourly results file  
20 format with all of the load modifier detail. And it has  
21 entries, not just for the coincident and non-coincident  
22 peak hours but, also, for the full 24-hour peak day  
23 profiles. And this is the same with the monthly peaks. So  
24 a richer data set that is hopefully more informative.

25 And I think with that, I'll just thank everyone

1 again for their time and attention today. And I'll defer  
2 to the dais for comments or questions.

3 VICE CHAIR GUNDA: Thanks, Nick. Thanks for the  
4 presentations.

5 I just wanted to begin by just acknowledging the  
6 tremendous work you, particularly, put into this, the time.  
7 And this is not easy to pull all the different threads  
8 together and be responsible for one of the most important  
9 analytical products that the state produces as a whole.  
10 And given the importance around energy planning,  
11 reliability, the energy transition and equity, this is such  
12 a foundational element of everything we do in the state.  
13 So I just wanted to both recognize, you know, the hard work  
14 you put in, you know, and do it so gracefully and  
15 thoughtfully. So thank you, Nick. Thanks for all the  
16 work.

17 I also want to recognize, you know, a couple of  
18 Staff that are retiring, you know, Bob McBride from the  
19 Transportation Team, as well as Mitch Tian from the  
20 Assessments Demand Group. Broadly, so thank you for your  
21 contributions over the years and, you know, we'll miss you.  
22 And thanks for all the wonderful work.

23 And I know we also lost a couple of really strong  
24 Staff to other agencies, Cary Garcia and Matt Coldwell, for  
25 their work that they've done before they moved on to other

1 agencies, so thank you for your work.

2           So I just wanted to all-around thanks first.

3           And then kind of going into, Nick, a few  
4 questions, and I'll kind of leave the transportation  
5 questions to Commissioner Monahan, but I want to just go  
6 into a couple of observations/thoughts for us to think  
7 through.

8           If we go to slide number 15 on the presentation  
9 you just made, you kind of mentioned, you noted this  
10 already and I just wanted to flag this for the broader  
11 dais, you know, there's Commissioner Monahan, but also our  
12 Energy Planning Team, I think you made a very important  
13 observation about the length of the ramping time that we  
14 begin to see here, but also the magnitude of the ramp in  
15 the evening hours.

16           This has, you know, from an energy  
17 planning/resource planning, a direct implication to  
18 storage, and then the storage duration and load  
19 flexibility. So I wanted to just make sure that I tagged  
20 this to you, Nick, to work with our supply team on kind of  
21 the reliability planning and emphasize this, these specific  
22 elements.

23           On the next slide that you brought up, again, a  
24 huge insight. You know, we just hit a 50,000 peak in  
25 September this year, which we thought was crazy. And your

1 next slide here shows that we can hit that in February.  
2 That is absolutely bonkers. So I just wanted to note that  
3 is an important element for us to continue to track.

4 This goes towards planning for reliability year-  
5 long, not just for the summer and the potential dual peaks  
6 that we'll see across the year, but also during the days.  
7 You know, it's interesting to watch that you will have the  
8 peak in February in hour nine or hour eight versus evening.  
9 So just important insights for that, so thank you.

10 Maybe this is kind of one question, if you could  
11 expand a little bit on slide number nine, your specific  
12 climate considerations? You know, could you talk about the  
13 data and how we are using this and how this could inform  
14 the broader discussion on reliability as you see right now?  
15 So let me kind of state that a little bit more.

16 Currently, right, I mean we have CPUC planning  
17 for resource procurement based on the mid-mid forecast or  
18 the Planning Forecast, the 8760. That gives you a certain  
19 amount of resources. But, you know, over this last six  
20 months we recognized that even in the best-case scenario  
21 that CPUC is able to procure, authorize the procurement of  
22 those resources to meet the planning standards, and able to  
23 deliver that, we still have this incredible amount of  
24 needle peaks that we could see.

25 So I'm just asking from the context on, you know,



1 how do you see this information helping us think about how  
2 to plan for the extreme as our analytics continue to  
3 improve?

4 MR. FUGATE: Sorry. Sure. So, yeah, thank you  
5 for that question.

6 You know, certainly -- well, I guess I'll preface  
7 this just by saying that, you know, this chart in  
8 particular is just sort of illustrative of the problem that  
9 we're grappling with right now.

10 So you know, currently we have tried to capture  
11 some of the increased warming in our one-in-two estimate of  
12 peak load. But certainly, you know, there's clearly, you  
13 know, even just looking at the recent historical data set,  
14 you know, clearly we are looking at increased likelihood of  
15 more extreme temperatures. So even if we have just -- even  
16 if we feel like our one-in-two estimate is reasonable, if  
17 we are planning, you know, around that one-in-two estimate,  
18 we should also be prepared for, you know, increased  
19 magnitude of deviations from that one-in-two.

20 I think, you know, having -- our intention is to,  
21 you know, once we have, you know, this rich climate  
22 modeling data set, our intention is to leverage that in  
23 conjunction with the historical, you know, weather patterns  
24 to get a better idea of, you know, what a one-in-two looks  
25 like, what a one-in-five looks like, what a one-in-ten

1 could look like and produce, you know, more reliable  
2 estimates around those peak factors.

3           But you know, for the time being, we're working  
4 just with the historical data set. We're sort of limited  
5 in what we can do. You can only like truncate the  
6 historical window so far and then it becomes quite  
7 difficult to estimate a distribution based on, you know,  
8 less than -- trying to estimate a 1-in-20 with less than 20  
9 data points, it doesn't necessarily -- you're not going to  
10 necessarily have confidence in those estimates too.

11           So I think having the climate modeling results is  
12 going to be a critical addition to our toolkit here.

13           VICE CHAIR GUNDA: Yeah, so just another follow  
14 up on this one. So that's really helpful.

15           So you said -- you know, is it fair to kind of  
16 lead from here that, you know, obviously the median, the  
17 50th percentile is moving, you know, and you have that, you  
18 know, growing? But what is kind of particularly more scary  
19 from a resource planning is the distance between the 50th  
20 and the 95th, you know, really is growing. And our ability  
21 in the past to absorb an event like a 95th percentile is  
22 harder now, given the distance. You see that.

23           So from that, I mean, if you could just kind of  
24 speak or validate along those lines and to, you know, like,  
25 what are you observing in terms of the demand forecast when

1 you do the peak, you know, 1-in-10, 1-in-20, and those, and  
2 the distance between them?

3 MR. FUGATE: Well, so currently we have not  
4 revised our factors that we use to create the one-in, you  
5 know, say -ten estimate relative to the one-in-two. And  
6 part of that, part of the reason that we haven't  
7 specifically, like what I just mentioned, is that, you  
8 know, once you start truncating the historical window, it  
9 becomes harder to have confidence in those estimates of the  
10 actual factors that you're coming up with.

11 And then the other reason I've been reluctant to  
12 address that for this update is because I think it's  
13 something we don't want to kind of backpedal on next cycle,  
14 once we do go through this sort of rigorous, you know, more  
15 rigorous process of analyzing this question with the  
16 climate data. So you know, we have had some -- that has  
17 been a pain point for us in the past, you know, producing  
18 forecasts that sort of change significantly year to year  
19 based on sort of fluctuating assumptions.

20 So this is one that we are holding constant for  
21 this update. And then next cycle, we hope to produce a  
22 more robust estimate of what that, you know, 1-in-5, 1-in-  
23 10, 1-in-20 factor should be, and also how it might evolve  
24 over the forecast period. If you're looking at 15 years,  
25 the 1-in-10 relationship to the 1-in-2 may not be the same

1 at the start of the forecast as you might expect at the end  
2 of the forecast.

3 VICE CHAIR GUNDA: You bring up such important  
4 points and I really appreciate both of the points you just  
5 made in terms of making sure we make those changes and  
6 stick with them as we move forward in a deliberate way.  
7 But also, like your point on the long term, a distance  
8 between whatever we might choose to plan to, whether it's a  
9 one-in-two or something else, and the distance from that to  
10 a potential extreme event, and how do we then manage such  
11 an event, you know, in real time, you know? So that's  
12 extremely helpful.

13 So last quick question and I'll pass on to  
14 commission Monahan. Given that we are going into the 2023  
15 reliability cycle, and then what we've done over the last  
16 couple of years is we took the demand, mid demand, the peak  
17 demand for September, you know, for each hour, and then we  
18 looked at, you know, putting a percent PRM on the top of  
19 that to estimate a worst-case scenario as a way to kind of  
20 figure out how to cover if such a scenario were to  
21 manifest. So it's really important, the one-in-two  
22 forecast fit between these different vintages as they  
23 change.

24 So what are you -- based on, you know, your slide  
25 24, it's really hard to see how 23 moved, but it's pretty

1 close, the 23 numbers for the peak. Could you explain,  
2 like from a numerical value, is it, you know, a couple  
3 hundred, few hundred, or what you have?

4 MR. FUGATE: Yeah, numerically, the delta  
5 between -- for the CAISO?

6 VICE CHAIR GUNDA: For the CAISO, yeah.

7 MR. FUGATE: Yes. For CAISO 2023, it's about 100  
8 megawatts.

9 VICE CHAIR GUNDA: Great. And then, I think this  
10 is where I would really like to kind of understand; right?  
11 Because you just incorporated into your weather  
12 normalization this summer, the 2022 summer, and the 2022  
13 summer is like such an extraordinary event, you know, given  
14 the last three years. You know, I'm glad that the one-in-  
15 two hasn't changed that much, which is helpful in the  
16 analysis. But it also kind of like makes the question pop  
17 up for me, if the distance between the 1-in-2 and 1-in-10  
18 or 1-in-20 between these two vintages has increased a lot?  
19 And I would really appreciate you providing that  
20 information once you have that.

21 MR. FUGATE: Sure.

22 VICE CHAIR GUNDA: Absolutely.

23 Okay, so then I'll pass on to Commissioner  
24 Monahan.

25 Nick, incredible gratitude. Thank you for all

1 the work you're doing.

2 MR. FUGATE: Yes. Thank you for your questions.

3 COMMISSIONER MONAHAN: So I do have a number of  
4 questions. And I'm sorry I missed part one because they  
5 probably are mostly being answered in part one.

6 But Quentin, can you pop on because --

7 MR. GEE: Yeah.

8 COMMISSIONER MONAHAN: So I'm wondering, and  
9 maybe I'll just start with the first one, the CAISO  
10 Transportation Load Shape, can you just talk, I think it's  
11 mostly to others, through sort of the uncertainties that  
12 you see in this? Because, you know, we have to make a lot  
13 of assumptions. So what are sort of the biggest ones that  
14 you would characterize as uncertainties in our modeling?

15 MR. GEE: With the EV load shape in particular?

16 COMMISSIONER MONAHAN: Um-hmm.

17 MR. GEE: Yeah, that's a good thing to highlight.

18 I mean, I think the first thing is that the TOU  
19 rates, you know, we're assuming they're static; right? So  
20 I think our TOU rates, Lynn might be able to speak to this  
21 more precisely, but I think they only officially go out to  
22 2026 or so. Maybe we have the 2027 from some update, but  
23 there's a cycle that they go on, and we just have, you  
24 know, we have a rough sense that they're probably going to  
25 look like what they did before because no one wants to have

1 everybody, you know, running really high at 5:00 p.m.

2 But there are some challenges with that. We do  
3 know that there's Renewable Portfolio Standard requirements  
4 that are coming on, I think 60 percent in 2030, so the  
5 time-of-use rates might not be so friendly to the, you  
6 know, 12:00 a.m. time when the sun is down. They might  
7 want to push more towards the midday.

8 Some other uncertainties, I think we have a  
9 pretty good sense of this. We do try to validate each year  
10 the kind of general load shape that we see, but we really  
11 don't know. There's about 400 meters in the state that are  
12 separate, you know, EV-dedicated meters, and there's --  
13 we're coming up on probably a million vehicles, a million  
14 electric vehicles in the stock, so 400 chargers is not the  
15 most accurate view of what's going on.

16 So the rest of that, how people are charging, you  
17 know, especially when they're home-charging, that's tied  
18 into their meter. And so, you know, it could be their  
19 fridge that kicked on, it could be the AC that kicked on,  
20 it could be they're charging at this time. So it's kind of  
21 hard for us to really get in there and see with more  
22 detail, like, are they actually charging in this way?

23 We do have some data, the input data that goes  
24 into these load shapes, that's been transformed by the  
25 time-of-use rates. That input data is a pretty good sample

1 because we actually have -- purchased some data where we  
2 found -- you know, we had several, you know, tens of  
3 thousands of charging instances at homes, and then tens of  
4 thousands at workplace and shopping centers and all of  
5 these different locations, so we do have a good sense of  
6 that. But these are kind of old, and they're used as input  
7 shapes.

8           The output shapes are supposed to be TOU  
9 responsive. If we bought brand new data, that might be  
10 shapes that are already responsive to time-of-use rates.  
11 So it's a little bit tricky to kind of tease out  
12 everything, but we have a fairly high degree of confidence  
13 that, you know, from some studies that are already existing  
14 out there, from time-of-use studies that are out there, we  
15 have some degree of confidence that this is what we should  
16 be expecting.

17           But there are some just unknowns here. You know,  
18 again, it's older data. You know, driver behavior could  
19 change. You know, right now, some people are buying  
20 electric vehicles. Those are early adopters. Those are  
21 people that are more -- they're more kind of jazzed about,  
22 you know, hey, look what my car can do and I can put this  
23 timer on and I can save money. And then you've got people  
24 maybe that are purchasing a car in 2030, and they're like,  
25 does it go from point A to point B? Can I charge at home?



1 And they might not care at all about time-of-use rates.

2           So we do have some assumptions there. Like we  
3 don't know what the time-of-use rates are. We don't know  
4 how, exactly how, responsive people will be. So there are  
5 some uncertainties there, but I think we have some degree  
6 of confidence. It could become just kind of common  
7 knowledge like, well, don't charge your car at 5:00 because  
8 you're paying twice as much or three times as much, just  
9 put the timer on.

10           So there are some uncertainties there and it's  
11 really hard to kind of say with certainty, you know, here's  
12 what 2030 will look like. Here's what 2035 will look like.  
13 So we're kind of trying to wrap our heads around that as we  
14 see more.

15           And then on top of that, you know, like we  
16 discussed on the next slide, which has all the other  
17 opportunities where people could be viewing it as a  
18 resource, and that could really change the ballgame as  
19 well, so, yeah.

20           COMMISSIONER MONAHAN: Thanks, Quentin.

21           MR. GEE: Does that --

22           COMMISSIONER MONAHAN: That was a great summary.

23 And I would also say the medium- and heavy-duty in  
24 particular, there's --

25           MR. GEE: Yeah.

1           COMMISSIONER MONAHAN:  -- (indiscernible.)  Like  
2 we have some data sets for light-duty.  We don't have as  
3 much for medium- and heavy-duty.

4           MR. GEE:  Yeah.

5           COMMISSIONER MONAHAN:  And just for the public  
6 side, too, we are, as an agency, publishing -- you know,  
7 responsible for publishing analysis every two years on the  
8 2030 charging needs, and this data -- so we're integrating  
9 the data that Quentin is presenting on Demand Forecasts  
10 also into that 2127 report.  So we're trying to make --

11          MR. GEE:  Yeah.

12          COMMISSIONER MONAHAN:  -- all of our products  
13 just more consistent across the entire Energy Commission as  
14 we move forward.

15                 And can we move to -- oh, yeah, we're on it,  
16 actually.

17                 So one just minor question is I've heard of like  
18 active managed charging and passive managed charging, but  
19 not managed charging versus demand response.  Is there a  
20 reason we're -- I mean, is there something in the managed  
21 charging piece that I'm missing?

22          MR. GEE:  Yeah, so active --

23          COMMISSIONER MONAHAN:  Active managed charging  
24 versus passive managed, because they're both managed  
25 charging --

1 MR. GEE: Yeah.

2 COMMISSIONER MONAHAN: -- but one is --

3 MR. GEE: Yeah.

4 COMMISSIONER MONAHAN: -- kind of passive and one  
5 where basically you say, I'm going to charge my car at this  
6 time and I'm hands off, which is how most of most people  
7 who, you know, get into the charging of their car, that's  
8 how they do it. Whereas demand response is a lot more --

9 MR. GEE: Yeah.

10 COMMISSIONER MONAHAN: -- there's an active --  
11 there's like a third party where there's somebody else  
12 getting involved is how I've thought about it.

13 But can you --

14 MR. GEE: Yeah.

15 COMMISSIONER MONAHAN: Is there some nuance in  
16 the managed charging piece that I'm just missing?

17 MR. GEE: I am a little bit, I think, fuzzy in my  
18 head about the terminology distinction there. I think  
19 we've been talking a lot more from a reliability  
20 perspective as opposed to, I think, some of the other  
21 frameworks that are out there around managed charging.

22 I think, if I'm not mistaken, it's been a while  
23 since I've done a deep dive into these different issues,  
24 but I think managed charging, active, I think if I'm -- I'm  
25 a little fuzzy, but I recall something, I think, of passive

1 managed charging is kind of like something akin to time-of-  
2 use.

3 COMMISSIONER MONAHAN: Yeah, it's time-of-use.

4 MR. GEE: Yeah, where you're relying on the  
5 person to kind of go like, well I don't want to do this, or  
6 I'm going to set up a timer, whereas managed charging  
7 active might be more like you sign up for a program and you  
8 kind of do the tie-in and you would make some kind of  
9 agreement, and you set up the framework, you'd say I want  
10 to have a certain amount of energy in my battery when I  
11 wake up.

12 COMMISSIONER MONAHAN: Um-hmm.

13 MR. GEE: But you kind of just set it aside in  
14 some kind of aggregator where it's kind of like, oh, hey,  
15 well we can trim demand now, but then catch back up later,  
16 save you 50 cents, and then, you know, you still wake up  
17 with your car being full.

18 So that's kind of this more sort of opportunity  
19 to sort of really flex the load, whereas I think the time-  
20 of-use approach is more just like, well, just don't charge  
21 at these times, and do if you really need to.

22 But, yeah, I'm forgetting a little bit more of  
23 the specifics about how these different frameworks are  
24 discussed.

25 I do know that demand response is something where

1 we're not just talking about vehicles, we're talking about  
2 all kinds of load shedding-type events where we're kind of  
3 asking, you know -- I think one examples is water pumping.  
4 Like can you just turn off your pumps for a few hours? You  
5 can bring them back on later. And I think that's how we're  
6 envisioning demand response in this case where it's like,  
7 okay, please don't charge. You know, you have now some  
8 aggregator that can control 300,000 cars and they just say,  
9 okay, we're just going to turn all --

10 COMMISSIONER MONAHAN: Ah, so they're both  
11 active? Both managed charging and demand response are both  
12 active? There's a third-party kind of getting involved in  
13 this. I didn't understand that.

14 MR. GEE: Yeah.

15 COMMISSIONER MONAHAN: Okay.

16 MR. GEE: Yeah. I think that would be the way to  
17 think of it, yeah.

18 COMMISSIONER MONAHAN: Okay.

19 MR. GEE: But that's a good point. I should  
20 double-check and make sure that the terminology with the  
21 active and managed -- or excuse me, active and passive is  
22 clear there.

23 COMMISSIONER MONAHAN: And then can we move to  
24 slide 17? Because that's where I had a lot of questions.  
25 And this is where I think you covered it in the last

1 workshop, so I'm sorry I missed it.

2 MR. GEE: Yeah.

3 COMMISSIONER MONAHAN: Two things that -- there we  
4 go --

5 MR. GEE: Yeah.

6 COMMISSIONER MONAHAN: -- surprised me were the  
7 reduced VMT forecast, and just the fact that our forecast  
8 shows higher demand with AATE than with our 2022.

9 MR. GEE: Yeah.

10 COMMISSIONER MONAHAN: That was a surprise to me.

11 MR. GEE: Yeah.

12 COMMISSIONER MONAHAN: Can you -- like reduced  
13 VMT forecast, where is that? Why is that?

14 MR. GEE: I think it's we caught, I think, an  
15 anomaly in the 2021 IEPR --

16 COMMISSIONER MONAHAN: Oh, right.

17 MR. GEE: -- where the ZEVs --

18 COMMISSIONER MONAHAN: Okay.

19 MR. GEE: -- were just getting more VMT. So ZEVs  
20 kind of already have more VMT because they tend to be  
21 newer.

22 COMMISSIONER MONAHAN: Right.

23 MR. GEE: And so like an '86 Buick is not driven  
24 as much as a 2020 Model 3 or whatever, so there's that  
25 phenomenon going on.

1           But there was something else in the coding that I  
2 think was assigning too many vehicle miles --

3           COMMISSIONER MONAHAN: I remember. Okay.

4           MR. GEE: -- to those. And so that reduced --  
5 the vehicles themselves were more efficient.

6           And then there was an error with the plug-in  
7 hybrid electric vehicles where not only do they have the  
8 VMT that was a little high that we improved, but we also  
9 found that there was a disaggregation coding error where it  
10 was assigning all of their miles as electric and not --

11          COMMISSIONER MONAHAN: Okay.

12          MR. GEE: -- split between electric and gasoline.  
13 Yeah.

14          COMMISSIONER MONAHAN: Thank you. I actually  
15 thought that the model had changed to reduce VMT and I was  
16 like, wait. What?

17          MR. GEE: No, no. Yeah.

18          COMMISSIONER MONAHAN: But that makes perfect  
19 sense.

20          MR. GEE: No, no. No fixing that. We do have --

21          COMMISSIONER MONAHAN: I'm like, that's not  
22 happening yet --

23          MR. GEE: Yeah.

24          COMMISSIONER MONAHAN: -- until CARB releases  
25 regulations that would require that.

1 MR. GEE: Yeah, I believe VMT per capita actually  
2 goes up in our forecast.

3 COMMISSIONER MONAHAN: Yeah.

4 MR. GEE: And that's primarily --

5 COMMISSIONER MONAHAN: That makes --

6 MR. GEE: -- because, yeah, people drive more  
7 when the economy's larger per capita.

8 We do have a new vehicle -- excuse me, a vehicle  
9 miles traveled or a travel model that we're working on with  
10 some consultants at ICF that are really helping. We're  
11 going to be integrating that with CARB's EMFAC travel  
12 approach. And we are looking forward to that because that  
13 will give us a little more flexibility to model out some of  
14 the consequences. What if we can get VMT down? But also  
15 what if, you know, autonomous vehicles take over and  
16 there's just a lot more, you know, vehicle miles traveled  
17 associated with deadheading and that sort of thing?

18 COMMISSIONER MONAHAN: Thanks, Quentin. This is  
19 super helpful.

20 And as always, thank you for your thought  
21 leadership on this. I mean, I just think you're always  
22 thinking kind of outside the box, but you're also going in  
23 the box deeply to understand what's happening in modeling.  
24 So just appreciate the work that you and your team are  
25 doing on this.



1 MR. GEE: Great. Thanks, Commissioner Monahan.

2 VICE CHAIR GUNDA: Thank you, Commissioner.

3 Commissioner McAllister, I see you online. Do  
4 you have any questions?

5 COMMISSIONER MCALLISTER: No, I don't. I've had  
6 to be in and out, so I didn't want to -- I don't have any  
7 questions. But, yeah, I'll have a look at the full  
8 presentation since I missed part of it.

9 VICE CHAIR GUNDA: Thank you, Commissioner  
10 McAllister.

11 Quentin, I just want to elevate a couple of  
12 things that Commissioner Monahan mentioned.

13 As we go into the DER proceeding, you know, the  
14 kind of workshop that we're thinking, I would like you to  
15 please review the discussion at the business meeting if you  
16 didn't follow that, the conversation between myself,  
17 Commissioner McAllister and Commissioner Monahan, on kind  
18 of the importance of some key elements that we discussed on  
19 the coordination between EAD efficiency, as well  
20 particularly clean transportation, on some of these  
21 conversations that you just raised. I think it's really  
22 important to scope the workshop, taking into account the  
23 broader integration, and how -- you know, the grid  
24 friendliness of the electric loads and the grid management  
25 opportunity.

1           Second, I think the one that she raised that was  
2 really important for me was to like the terminology, you  
3 know? And I know Commissioner McAllister kind of wants us  
4 to move away from saying demand response and then move to  
5 better ways of discussing that. It would be really helpful  
6 to standardize those terms as an agency when we talk about  
7 them, and also kind of socialize with our colleagues at  
8 other agencies so that we're all speaking from the same  
9 thing.

10           And finally, on the charging profile that you  
11 shared, you know, as you know, again, this is elevation,  
12 one of the criticisms that we received in the media and  
13 questions during the heat wave was, you know, why are you  
14 electrifying transportation if you can't keep the lights on  
15 in California, right, kind of thing?

16           So you know, it's really, I mean, the load shape,  
17 really, you know, is just the backbone of the conversation,  
18 and then our ability to potentially then help the grid on  
19 the top of not only managing it. So you know, kind of  
20 elevating that conversation, either in this IEPR or in the  
21 proceeding, to really lay that out.

22           The way we have the medium- and heavy-duty  
23 charging profile layered out is a lot smoother than I would  
24 expect. I'd probably expect it to be much more lumpier in  
25 its charging, given the kind of core and sectors. So

1 putting in money, time, like if resources are the issue, I  
2 think we should pull together the resources to either get  
3 the data, continually monitoring the data, however, you  
4 know, to better understand charging profiles, given  
5 Commissioner Monahan's comments on consistency across 2127  
6 and the forecasting products.

7           Lastly, I would, you know, given that we now have  
8 the IMD data, you know, the IMD data -- or the virtual  
9 auditing using the IMD data is a lot more feasible for low-  
10 frequency, high-amplitude loads; right? So it would be --  
11 and I just want to at least explore with colleagues, you  
12 know, in academia who are studying the IMD data to  
13 virtually assess the profiles and how much we can glean  
14 from the meter data directly. Composite meter data on the  
15 charging profiles would be an important element to dig  
16 into.

17           So I just want to elevate those topics.

18           As Commissioner Monahan said, excellent work. So  
19 just to you, Heidi, Nick, Lynn, you know, the team, it's  
20 just an A-plus team. And I think I see how much we in the  
21 front of the curtain and also behind the curtain. I mean,  
22 I think the Forecasting Team is one of those teams that  
23 generally is moving so much from behind the scenes, so  
24 thank you so much for the work.

25           Thank you.

1 MR. GEE: Thanks, Vice Chair.

2 VICE CHAIR GUNDA: So we can go to Q&A, I think;  
3 right? Is that the next thing? I'm sorry.

4 MS. JAVANBAKHT: Yeah, I think that is the next  
5 thing.

6 And we just have one question in the Q&A, and  
7 it's for Quentin on that first chart that you showed.

8 So, the question is around --

9 "The daytime charging seems significant, which would  
10 correlate with workplace charging. Right now there is  
11 a lack of workplace charging. Does this shape reflect  
12 charging asset availability, or does it just look at  
13 energy costs and assumes there is enough charging  
14 infrastructure to serve all TE load at all times?"

15 MR. GEE: Yeah. That's a really good question,  
16 Bill.

17 Yeah, so really the model -- so the model does  
18 indirectly look at charging, kind of in the way you're  
19 describing in terms of availability, in that there are  
20 these input actual data from chargers where we know that  
21 people were charging in a particular way. And we're  
22 talking not just like looking at one person, but we're  
23 looking at, I believe, tens of thousands, if not hundreds  
24 of thousands -- hundreds of thousands of total datapoints,  
25 but also tens of thousands, I think, in different

1 categories of charging events. So I think we have some  
2 pretty good confidence with those in terms of how are a lot  
3 of people trying to charge.

4 But you are correct in the sense that, really, we  
5 kind of take that and we assume, more or less, that the  
6 load shape will look like that, and then the input load  
7 shape looks a certain way, and then we have the time-of-use  
8 modification as a result. And that just does kind of  
9 assume more or less that, you know, people can charge when  
10 and where they want, or they otherwise will be charging  
11 when they want associated with those input load shapes. So  
12 that's a good point.

13 As far as workplace charging goes, that's like a  
14 good example. So the chart sort of shows your 5:00 to 9:00  
15 or 4:00 to 9:00 time period is kind of low because no one  
16 wants -- why not save some money? And it's easy if you  
17 have a timer. So there's that kind of low period.

18 But the energy demand has to get pushed into  
19 other parts of the day, and so we see a little bit of a  
20 hill in the midday, and we see kind of a big hill towards  
21 the end of the day. So that hill in the middle of the day,  
22 roughly would, most likely -- we don't -- we're not saying  
23 that, you know, these charges are here that, you know,  
24 we're not doing sort of a bottom-up analysis of where the  
25 chargers are, but that would lend itself to saying,

1 actually, workplace charging is a really important  
2 opportunity, given the way that rates are structured.

3           And given that workplace charging is an  
4 opportunity, what we should be doing and, you know, what  
5 actually the Fuels and Transportation Division, which  
6 Commissioner Monahan works with or oversees and the Clean  
7 Transportation Program there, you know, this is kind of a  
8 signal to them. Hey, you know, there's a lot of  
9 opportunity based on saving people as much money as  
10 possible, helping the grid out, those sorts of things. So  
11 workplace charging is something that they're looking at  
12 closely in terms of their funding priorities for  
13 infrastructure. But our model itself doesn't say, you  
14 know, here are all the chargers, you know, we have enough  
15 workplace chargers in place.

16           So yeah, we don't know how things are going to  
17 look exactly in 2030. This is a sort of broader  
18 econometric sort of analysis, as opposed to a bottoms-up,  
19 like here's where we need the chargers.

20           MS. JAVANBAKHT: Thanks Quentin.

21           There are no more questions in the Q&A, so I will  
22 hand it back to Heather.

23           MS. RAITT: Thank you, Heidi.

24           And thank you, Quentin, for all that great  
25 information.

1           So we will now move on to our public comment  
2 period. So folks who are attending, if you would like to  
3 make a comment, please press the raise-hand function to let  
4 us know that you want to comment. And if you are on the  
5 phone you can press star nine.

6           I will give it a moment. I'm not seeing any  
7 raised hands, but we'll give it another moment here. So if  
8 you want to comment, raise your hand. And then if you're  
9 on the phone, press star nine.

10           Okay. Oh, here we go. Bill Boyce, if you would  
11 like to go ahead?

12           MR. BOYCE: Good afternoon.

13           I was going to point out, and I kind of made this  
14 comment last week, as well, I think going forward --

15           MS. RAITT: Oh, I'm sorry, Bill.

16           I should have said could you please state and  
17 spell your name and give your affiliation for the record  
18 before you begin?

19           MR. BOYCE: Bill Boyce. Bill Boyce Consulting,  
20 representing the West Coast Clean Transit Corridor  
21 Initiative.

22           Wanted to kind of reiterate some comments I made  
23 last week which are really going forward in the IEPRs. The  
24 grid-side infrastructure to serve all the TE load is going  
25 to become very important and recognizing that the

1 generation assets are paramount for, you know, the current  
2 IEPR. But delivery of that electricity as a statewide  
3 asset is something else we need to become aware of and  
4 modeling. And I think there were some comments that we're  
5 going to be taking a closer look on that.

6 But I think it's going to be very important with  
7 regards to that serving that load that we start to really  
8 look at the distribution and transmission assets. And that  
9 is going to become an equally important resource in meeting  
10 the state's carbon reduction goals.

11 So I'll be submitting some comments in a couple  
12 of days on that but wanted this opportunity to kind of  
13 hammer that home a little bit more.

14 Thanks.

15 MS. RAITT: Thank you.

16 Anyone else has comments, just raise your hand  
17 please.

18 Alright, well, not seeing any more comments, I  
19 think we're done with public comment period.

20 VICE CHAIR GUNDA: Thank you, Heather.

21 I'm guessing that's the last IEPR workshop for  
22 the year, which means we won't have any more fun days for  
23 the rest of the year.

24 MS. RAITT: Yeah, you get two weeks off --

25 VICE CHAIR GUNDA: -- we'll miss out.



1 MS. RAITT: -- from workshops.

2 VICE CHAIR GUNDA: You know, I just wanted to  
3 share in closing, IEPR -- Heather, IEPR is such an  
4 important product and, you know, you guys do it so well,  
5 the IEPR Team. And it's such a wonderful venue for  
6 important conversations for the State, you know, an  
7 important opportunity for the public to comment, and all  
8 sorts of stuff. So I just wanted to say, Heather, thank  
9 you for your long work and partnership and the opportunity  
10 to work with you on the 2022 IEPR.

11 Look forward to getting into the next year. And  
12 for everybody who were in attendance, thank you for taking  
13 the time to join us. Thank you for your participation and  
14 comments. And happy holidays to you and your families and  
15 loved ones. I look forward to coming back in January, so  
16 thank you all.

17 And with that, I adjourn the meeting. Thank you.

18 (The workshop adjourned at 3:28 p.m.)

19  
20  
21  
22  
23  
24  
25

## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 13th day of January, 2023.



---

MARTHA L. NELSON, CERT\*\*367

## CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

January 13, 2023