

DOCKETED

Docket Number:	23-BUSMTG-01
Project Title:	Business Meeting Agendas, Transcripts, Minutes, and Public Comments
TN #:	249153
Document Title:	Transcript of the February 28, 2023 Business Meeting
Description:	N/A
Filer:	Liza Lopez
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	3/14/2023 4:25:20 PM
Docketed Date:	3/14/2023

BUSINESS MEETING
BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
)
Business Meeting) 23-BUSMTG-01
)

REMOTE VIA ZOOM

TUESDAY, FEBRUARY 28, 2023

10:00 A.M.

Reported By:
Peter Petty

APPEARANCES

CEC Commissioners

David Hochschild
 Siva Gunda
 Noemi Gallardo
 Andrew McAllister
 Patty Monahan

CEC Staff

Drew Bohan, Executive Director
 Linda Barrera, Chief Counsel
 Mona Badie, Public Advisor

Agenda Item

Jorge Luis Quintero	4
Heather Raitt	6
Hilary Poore	6
Heidi Javanbakht	6
David Erne	6, 8, 9
Amanda Bourdet	6
Jane Berner	6
Paul Deaver	7

Public Comment

Steve Uhler	1, 5, 6, 8, 9
Tim Ransdell, Southern California Gas Co.	6
Varner Seaman, ACP California	7
Tom Hafer, Morro Bay Fishing Organization	7
Manley McNinch, Southwest Mountain States Regional Council of Carpenters	7
Claire Warshaw	7

INDEX

Proceedings	5
Items	
1. Public Comment	6
2. Agency Announcements	8
3. Consent Calendar	9
a. Aspen Environmental Group	
b. Repeal of Portable Luminaire Regulations	
c. Northern California Power Agency	
d. Henrietta Peaker Project	
e. Guidehouse Inc.	
f. American Council for an Energy-Efficient Economy	
g. Hell's Kitchen Geothermal LLC	
4. Information Item - Department of Water Resources Strategic Reliability Investments Update	10
5. Petition to Request a Rulemaking Hearing	19
6. Final 2022 Integrated Energy Policy Report Update	32
a. Equity and Environmental Justice	34
b. California Energy Planning Library	37
c. California Energy Demand Forecast Update	40
d. Emerging Topics: Reliability, Western Integration, Fossil Gas, and Distributed Energy Resources	43
e. Emerging Topics: Gasoline Prices, Fossil-Gas Transition	51
f. Role of Hydrogen in California's Clean Energy Future	53
7. Preliminary Assessment of the Economic Benefits of Offshore Wind Related to Seaport Investments and Workforce Development.	77

INDEX (Contd.)

	Page
8. Clean Energy Reliability Investment Plan (CERIP)	96
9. Diablo Canyon Power Plant Extension - Analysis of Need to Support Reliability.	115
10. Lead Commissioner or Presiding Member Reports	140
11. Executive Director's Report.	150
12. Public Advisor's Report.	150
14. Chief Counsel's Report.	150
15. Public Comment	6, 10, 25, 57, 87, 103, 126
Adjourn	150
Reporter's Certificate	
Transcriber's Certificate	

P R O C E E D I N G S

1
2 February 28, 2023 10:04 A.M.

3 CHAIR HOCHSCHILD: Well, good morning and
4 welcome friends. I'm David Hochschild, Chair of the
5 Energy Commission. Today is February 28th. I call this
6 meeting to order. Joining me are Vice Chair Gunda,
7 Commissioner McAllister, Commissioner Monahan, and
8 Commissioner Gallardo. We have a quorum. We'll turn
9 now to the Pledge of Allegiance, led by Commissioner
10 McAllister.

11 (Whereupon the Pledge of Allegiance was recited)

12 CHAIR HOCHSCHILD: Thank you so much,
13 Commissioner. We'll turn now to Item 1, public comment.

14 MS. BADIE: Good morning, and welcome. This
15 is Mona Badie, the Energy Commission's Public Advisor.
16 The Commission welcomes public comment at its business
17 meetings. There will be multiple opportunities for
18 public comment today. This initial public comment
19 period is for any informational or non-voting items on
20 the agenda. If you would like to comment on a voting
21 item, we ask that you wait for the dedicated public
22 comment period for that item to make your comment.

23 If you are on Zoom and wish to comment, click
24 the raise-hand feature on your screen. Please make sure
25 your hand remains raised until you are called on. And

1 if you are joining by phone, please press star-nine to
2 raise your hand. To ensure we can hear from everyone
3 and get through the agenda, comments are limited to two
4 minutes or less per speaker and one speaker per entity.
5 You will be called on when it is time for you to make
6 your comment.

7 Okay, on the Zoom we have one person with
8 their hands raised. There is just call-in user one.
9 I'm going to unmute your line. Please unmute on your
10 end, spell your name, state any affiliation and then we
11 welcome your comment. Call-in user one, I'm opening
12 your line.

13 MR. UHLER: Hello. Hello, Commissioners.
14 This is Steve Uhler, U-H-L-E-R. I would like to comment
15 on item four, but I haven't heard the presentation. So,
16 I've seen the presentation, so I would ask that you
17 check your Bagley-Keene for the third paragraph. You
18 appeared to decide that I shouldn't know what the spoken
19 part of the presentation is before I comment. So, I
20 object to that.

21 And -- but without waiving that objection, I
22 will try to comment on that. Looks like you have 47
23 sections of your public resource code that are affected
24 by AB 205. Is it more than \$50 million related to this
25 action that will be-- come out of this? Will you be

1 having a rule making, and will it show up on your
2 calendar for major rule regulations?

3 I would like to know-- I see some numbers in
4 there. There was no backup material. I'd like to know
5 about the equipment, the actual equipment, not just how
6 many watts. And actually, I would rather know how many
7 volt-amps are available, and power factor. If they're
8 using that or if they're not using that. Hopefully
9 they're using the EIA database, that's more
10 comprehensive than anything that the Commission has.

11 So, I object to you continuing further. Item
12 5, my petition. I didn't petition for a hearing. I
13 object to them-- to your staff placing a new order for
14 you to vote on after the three-day period. You should
15 have all of my comments. A lot of them are now rendered
16 not directly to that item. There's no possible way.
17 It's impossible for me to comment on that.

18 MS BADIE: Thank you Mr. Uhler--

19 MR. UHLER: I would ask you to table that.

20 MS. BADIE: Please wrap up, your time is up.

21 And we will--

22 MR. UHLER: Okay, I'll wrap up.

23 MS. BADIE: -- have public comment.

24 MR. UHLER: Hang on.

25 MS. BADIE: We will have a public comment

1 period for Item 5.

2 MR. UHLER: Okay, I-- I'm objecting to the
3 agenda containing that item. If the staff are free to
4 put in anything after the three-day period that I--
5 limits me on written comments.

6 MS. BADIE: Thank you, Mr. Uhler--

7 MR. UHLER: Table it--

8 MS. BADIE: --your time--

9 MR. UHLER: Table that item.

10 MS. BADIE: I do not see any other raised
11 hands. Back to you, Chair.

12 CHAIR HOCHSCHILD: Okay, thank you. We'll
13 turn now to Item 2, agency announcements. I did want to
14 begin by recognizing that February is Black History
15 Month, and just want to acknowledge the extraordinary
16 contributions African Americans have made both to the
17 nation, the state, and to the Energy Commission and
18 thank everyone who's been involved in any way with any
19 of the events around Black History Month.

20 I also wanted to say a few words about the
21 Tribal En Banc that's coming up this week. We are,
22 together with all five Commissioners from the Public
23 Utilities Commission and a number of staff, going to be
24 doing the first ever Tribal En Banc meeting, engaging
25 with 10 tribes in the North Coast over the next few days

1 on tribal consultations, tribal energy sovereignty,
2 visiting a number of key sites up there. And this is
3 the first time that we've done that.

4 I especially wanted to recognize our Tribal
5 Advisor, Katrina Leni-Konig in the Public Advisor's
6 office, and Mona, for all your incredible work to put
7 that together. A lot of work. There has been almost a
8 year of planning around this, and it's historic, and I
9 think it really is time that we do this. So, I'm really
10 excited for this week and just wanted to thank everyone
11 who's been involved in putting that En Banc together.

12 At this time, I just opened up, if there's any
13 other Commissioners who wanted to make any
14 announcements, please speak up. Otherwise, hearing
15 none, we'll turn now to consent calendar Item 3. Do we
16 have any public comment on Item 3?

17 MS. BADIE: Thank you. Okay, so this is
18 public comment period for Item 3. This is our consent
19 calendar. If you'd like to make a comment, please use
20 the raised-hand feature on Zoom. And if you're joining
21 us by phone, please press star-nine to raise your hand.

22 And I am not seeing anyone with raised hands,
23 so back to you, Chair.

24 CHAIR HOCHSCHILD: Okay. Unless there's
25 Commissioner discussion, Commissioner McAllister I'd

1 welcome a motion from you on Item 3.

2 COMMISSIONER MCALLISTER: I move Item 3.

3 CHAIR HOCHSCHILD: Okay. Commissioner

4 Gallardo, would you be willing to second?

5 COMMISSIONER GALLARDO: I Second.

6 CHAIR HOCHSCHILD: All in favor, say aye.

7 Commissioner McAllister?

8 COMMISSIONER MCALLISTER: Aye.

9 CHAIR HOCHSCHILD: Commissioner Gallardo?

10 COMMISSIONER GALLARDO: Aye.

11 CHAIR HOCHSCHILD: Vice Chair Gunda?

12 VICE CHAIR GUNDA: Aye.

13 CHAIR HOCHSCHILD: And Commissioner Monahan?

14 COMMISSIONER MONAHAN: Aye.

15 CHAIR HOCHSCHILD: And I vote aye as well.

16 Item 3 passes unanimously. We will turn now to Item 4,

17 Department of Water resources.

18 MR. QUINTERO: Thank you. Good morning,

19 Chair, Vice Chair, and Commissioners. I am Jorge

20 Quintero with the Department of Water Resources, serving

21 as a principal engineer in the Electricity Supply and

22 Strategic Reserve Office. This is our second quarterly

23 update to the Commission regarding the current and

24 planned investments with California's newly created

25 (AUDIO CUT OUT) program. All my focus will be on DWR's

1 activities with respect to this program. There is
2 considerable coordination with the California Energy
3 Commission, the California Public Utilities Commission,
4 and the California Independent System Operator. This is
5 a team effort.

6 Next slide, please.

7 Thank you. DWR was tasked by the legislature
8 in Assembly Bill 205 to establish a Strategic
9 Reliability Reserve, and to provide quarterly updates at
10 the state CEC business meetings, amongst other
11 legislative reportings. Today's presentation is our
12 second update. Our first was provided last year at the
13 November 16th CEC business meeting. The next update
14 will be provided in the second quarter of 2023 at the
15 June CEC business meeting. In addition to this
16 presented above, DWR recently submitted a separate
17 progress report to the joint legislative budget
18 committee detailing the status of commitments,
19 disbursements, upcoming investments, and admissions
20 occurring during the July through December 2022
21 reporting period.

22 Next slide, please.

23 As stated in AB 205, the actions of this
24 program are for the welfare and the benefit of the
25 people of the state to protect public peace, health and

1 safety, and constitute an essential governmental
2 purpose. California is leading the nation in
3 electrification, but due to climate change induced
4 extreme weather, emergencies, and supply chain
5 constraints delaying new generation deployment, state
6 government and other stakeholders are concerned about
7 electrical grid reliability.

8 With these combined factors creating
9 additional risks to the statewide power grid, this
10 program is designed to support California's transition
11 to a clean energy future, and establish reliability
12 projects that are critical to help make sure the lights
13 stay on. Projects under the program will result in a
14 diverse set of backup electricity resources acting as an
15 insurance policy and playing a critical role in
16 safeguarding the state with enough resources to address
17 extreme events.

18 Next slide, please.

19 DWR has been directed to significantly invest
20 in secure and strategic energy reserves. DWR's
21 investments include a combination of various projects
22 and tasks that start with project selection all the way
23 through to ensuring additional megawatts are available
24 to the grid during peak emergency periods. DWR has been
25 increasing its staff and contracting additional support

1 staff to assist with managing and reporting on the
2 portfolio of reliability reserve projects. As
3 previously mentioned, this is a team effort bringing
4 multiple state entities together.

5 Next slide, please.

6 Secure and additional power comes from a
7 variety of sources. There are five distinct types of
8 projects under the program. The first is the extension
9 of operating life of existing generating facilities
10 planned for retirement. The second is new and temporary
11 power generators of five megawatts or more. If a
12 generator is operated using diesel fuel, that department
13 should operate after July 31st of this year, 2023.

14 The third is new energy storage systems of 20
15 megawatts or more that are capable of discharging for at
16 least two hours. The fourth is generating facilities
17 using clean zero emission fuel technology of any size to
18 produce electricity. The fifth is to reimburse
19 electrical corporations for the value of imported energy
20 or import capacity products that were produced or
21 procured above market cost or in excess of procurement
22 authorizations and requirements. Part of our project
23 solution criteria is driven by bringing available
24 megawatts to the grid as quickly as possible, and
25 prioritize investments that do not compete with

1 generating facilities already planned for development by
2 the load serving entities.

3 Next slide, please.

4 In 2022, the program had 200 megawatts of
5 emergency and temporary power generation, and greater
6 than 1400 megawatts of imports. For 2023, we are
7 expecting 291 megawatts of emergency and temporary power
8 generators using natural gas fired units with emission
9 control. This year we are not planning to rely on any
10 diesel units. Import energy and import capacity
11 projects were only legislatively allowed for the summer
12 of 2022 and are not included in future plans.

13 Next slide, please.

14 For 2024, our future investments include
15 projects covering extended operations of retiring
16 facilities, and potential energy storage. Specifically,
17 we're looking to extend operations of the one-through
18 cooling steam units located in Southern California that
19 are scheduled to retire at the end of 2023. This could
20 retain up to 2,859 megawatts of hot capacity beginning
21 in 2024.

22 In addition, we are looking at supplementing
23 our emergency generators with non-emitting resources.
24 However, this has been a challenge since non-emitting
25 resources are also heavily sought after by the load

1 serving entities to meet their own resource adequacy
2 obligations. The next slide captures an annual look at
3 our program's investments over the upcoming years.

4 Next slide, please.

5 In 2022, the assets of the program's portfolio
6 are totaled 1,618 megawatts. In 2023, the value drops
7 down to 291 megawatts as there is no import program. In
8 2024, we see large contributions from extending the
9 operating life of existing generating facilities
10 resulting in a total of 3,150 megawatts.

11 I will make note that this graph does not
12 include efforts related to Diablo Canyon power plant
13 extension, which would kick in after the current
14 operating license expire in 2024 and 2025, but potential
15 extension of Diablo Canyon under Senate Bill 846 is
16 administered at the state level by DWR, but is separate
17 from the strategic reserve.

18 Next slide, please.

19 That concludes DWR'S presentation. We are
20 available for any questions. We also want to let you
21 know that Pete Skala, director for Procurement,
22 Efficiency, and Electrification on behalf of the
23 California Public Commission, and Eliot Mainzer, the
24 CalISO President, are also in attendance today to
25 receive this update. Thank you. Our next update is

1 scheduled for the second quarter of 2023.

2 Next slide, please.

3 And if desired, please follow us on social
4 media via Facebook, Twitter, YouTube, and Instagram.

5 Thank you.

6 CHAIR HOCHSCHILD: Thank you. That was
7 terrific. Thanks for that presentation. We'll turn now
8 to Commissioner discussion starting with Vice Chair
9 Gunda.

10 VICE CHAIR GUNDA: Thank you, Chair, Jorge.
11 Just thank you for that excellent presentation and
12 walking us through it. I want to take a moment, I mean
13 I've been following this carefully, DWR and the broader
14 team as it pertains to the pertains to reliability.

15 Just want to commend DWR's incredible
16 professionalism in 2022 and being able to streamline so
17 many different processes to quickly ramp up the
18 strategic reserve, and being very innovative, being very
19 collaborative with all the agencies. So, to you, I know
20 Behzad, as well as now Director Delphine Hou, everybody
21 just big thank you to your team.

22 I think, you know, I'm tracking this pretty
23 well, but I think it might be helpful for the
24 Commissioners to-- for you to kind of share a couple
25 things on why we are not investing in imports. I mean

1 what's the, you know, basically the limitations that you
2 have on the way we spend money. And also just at a high
3 level, the total amount that we have left over roughly,
4 and how you're planning to make those investments. I
5 think it might be helpful for all the Commissioners to
6 just hear, 30,000-foot level, those details. Thank you.

7 MR. QUINTERO: Sure. So, from a program
8 perspective, right now we legislatively not authorized
9 to do imports in 2023. There's nothing that permits us
10 to do so, but if that were to come about, obviously we'd
11 take a look at it. It's not something that we're
12 planning to until that's given that as an authority to
13 us. I think that's the first question you posed.

14 In terms of limitations, I think the biggest
15 one that we've come across, and I think I mentioned it
16 towards the portion we're talking about future. When we
17 start looking at cleaner resources, we face the
18 challenge of trying to not compete with resource
19 adequacy and causing an impact there in our footprint.

20 So being able to get not only resources that
21 are clean, but also minimize our impact to resources
22 that could be assisted in the resource advocacy market,
23 and also from the time-- perspective of, you know, being
24 able to get it in time. A lot of these resources have
25 very long lead times, so unfortunately we haven't been

1 able to secure anything in this year, but we are looking
2 in 2024 and forward to be able to bring things in to be
3 able to create the transition for California to clean
4 energy.

5 VICE CHAIR GUNDA: Thank you, Jorge. Just on
6 the total allocation of the budget, and you know, where
7 we are, I think it might be good for, you know, both the
8 public as well as the Commissioners to just hear.

9 MR. QUINTERO: At the moment, the majority of
10 our budget has been committed. We will need to be
11 looking to see where we can maybe streamline some
12 portions and maybe move things around. But given the
13 high cost of what the price of everything is right now
14 in the market, and product, and install and all that,
15 the majority of the budget has been expended.

16 VICE CHAIR GUNDA: Thank you. Great. Chair,
17 back to you.

18 CHAIR HOCHSCHILD: Okay, let's-- any other
19 Commissioner questions or comments? Okay. Well, thank
20 you, Jorge, for the presentation. Really helpful, and
21 look forward to hearing from you again. We will turn
22 now to Item 5, petition to request a rulemaking hearing.
23 I welcome Linda Barrera to present.

24 MS. BARRERA: Good morning, Chair and
25 Commissioners. Just want to double check my sound.

1 Sounds--

2 CHAIR HOCHSCHILD: You're fine. Yep.

3 MS. BARRERA: Okay, great. Thank you. So
4 good morning. I'm Linda Barrera, Chief Counsel of the
5 Energy Commission. This Item 5 is a proposed order for
6 the Energy Commission's consideration in potential
7 adoption. The proposed order would deny a Petition for
8 Rulemaking filed by a member of public, Steve Uhler,
9 that he filed on January 29th, 2023.

10 The Petition for Rulemaking seeks to amend
11 Section 1104 Subsection E of Title 20 of the California
12 Code of Regulations. In addition to the proposed order,
13 the backup materials for this item include a memorandum
14 supporting the proposed denial.

15 Next slide, please.

16 Government Code Section 11340.6 provides that
17 any interested person, including a member of the public,
18 may petition to amend the Energy Commission's
19 regulations. The CEC has established procedures in the
20 California Code of Regulations Title 20, Section 1221,
21 that set the requirements for filing a Petition for
22 Rulemaking within the Energy Commission. On January
23 29th, 2023, Steve Uhler filed a petition to amend.

24 After a petition is filed, the Executive
25 Director of the Commission reviews whether the petition

1 is complete. On February 14th, 2023, the Executive
2 Director, Drew Bohan, has certified that the petition
3 was complete and determined it met the requirements for
4 consideration by the Commission.

5 If the Executive Director certifies the
6 petition as complete the Commission has 30 days from the
7 filing of the petition to grant or deny the petition,
8 including a written statement for the reasons of any
9 denial. So, the next step is for the Energy Commission
10 to do that; to either determine whether to grant or deny
11 the petition.

12 Next slide, please.

13 In his petition, Mr. Uhler requests that the
14 energy-- as I said before, amend the section of the
15 code, Section 1104(e), which states that public comment--
16 - in that section it says, "Any person may file comments
17 in writing on any agenda item. Unless otherwise
18 directed by the presiding member, all written comments
19 shall be filed at least three days before the Commission
20 meeting. Any person present shall be given an
21 opportunity to make oral comments on any agenda item.
22 Provided, however, that the presiding member may limit
23 or for group such comments as necessary for the orderly
24 conduct of the business."

25 Next slide.

1 So, his petition requests that the Commission
2 amend the section of the code in two ways. First, that
3 the Energy Commission add language that requires that
4 all documents submitted by staff for business meetings
5 be filed in the docket at the same time that the Notice
6 of the business meeting is posted, which is-- typically
7 it's 10 days before the business meeting. And the
8 petition claims this is necessary to make it possible
9 for the public to write written comments in a timely
10 manner.

11 Second, the petition also requests that the
12 Energy Commission amend the Section of Title 20 to
13 require the Commission to provide an opportunity for
14 members of the public to comment on every agenda item
15 before or during the Energy Commission's discussion or
16 consideration of an item. The petition states that over
17 the last year, the public was not allowed to speak on
18 the same agenda-- on some agenda items before or during
19 the state's body's discussion or consideration of the
20 item.

21 Next slide, please.

22 So, as further explained the memorandum file
23 as a docket material to this item, the proposed order
24 recommends denying the petition because no amendment is
25 necessary at this time. The Commission already follows

1 the legal requirements when Noticing this is meeting
2 agendas and making materials available to the public.
3 Consistent with the requirements of the Bagley-Keene
4 Open Meeting Act, the Commission has always provided
5 notice of its business meeting at least 10 days before
6 the meeting, and the Notice of the meetings include a
7 specific agenda containing a legally sufficient
8 description of the items to be discussed and considered
9 during the meeting.

10 Based on the agenda, members of the public
11 know what the agenda items concern, and have an
12 opportunity to file timely written comments and/or
13 appear and provide comment orally in-person and
14 virtually during the business meeting. The law does not
15 require the Energy Commission to file all supporting
16 documents at the same time as the Notice of the meeting,
17 consistent with Bagley Keene Open Meeting Act. Prior to
18 or during the business meeting, the Energy Commission
19 consistently makes available to the public all public
20 records distributed to Energy Commission Commissioners
21 pertaining to any item to be considered during the
22 meeting.

23 In instances when specific laws require that
24 the Energy Commission provide additional notice, such as
25 in rulemaking proceedings, the Energy Commission

1 provides that notice. For example, the Commission files
2 Notices of Proposed Action, Initial Statement of
3 Reasons, and other relevant documents in corresponding
4 rulemaking proceeding dockets for at least 45-day
5 comment period before the CEC, the Energy Commission,
6 adopts the rule make at a business meeting.

7 The Energy Commission also posts backup
8 materials to the business meeting website so that people
9 that are not following a specific docket will be aware
10 of the items being considered at the business meeting to
11 inform the public of any documents that will be
12 considered by the Commissioners. After the Energy
13 Commission adopts the resolutions or orders, they are
14 filed to the business meeting docket and the specific
15 rulemaking dockets to complete the rulemaking record,
16 pursuant to a regulation, specifically Title 20, Section
17 1208.

18 Finally, after considering the petition, the
19 Chair, on the advice of the Chief Counsel's Office, has
20 and will continue to provide an opportunity for public
21 comments on all informational items, the one-- voting
22 items, before they CEC hears or discusses these items.
23 So, there's no need to amend the regulations to do this.
24 Finally--

25 Next slide, please.

1 We carefully reviewed the petition and the
2 Chief Counsel's office has determined that the Energy
3 Commission practices are consistent with the law. The
4 rulemaking requested by the petition is not necessary,
5 and does not warrant the expenditure of resources that
6 such a rulemaking would require. Thus, Commissioners
7 and Chair, I recommend that the Commission adopt the
8 proposed order filed in the docket materials for this
9 item and thereby deny the petition. I am happy to
10 answer any questions to you're having.

11 CHAIR HOCHSCHILD: Thank you so much, Linda.
12 Let's go to public comment on Item 5.

13 MS. BADIE: Thank you. This is Mona Batty,
14 the Public Advisor. The Commission now welcomes public
15 comment on Item 5. If you are on Zoom, click the raise-
16 hand feature on your screen to notify us you would like
17 to make a comment. And if you are joining by phone
18 please press star-nine to raise your hand. Comments are
19 limited to two minutes or less per speaker, and one
20 speaker per entity. Please wait for me to call on you
21 to make your comment.

22 Okay, we have one-- call-in user one has
23 raised their hand. I will open your line. Please
24 unmute on your end, state and spell your name, any
25 affiliation, and we will welcome your comment.

1 MR. UHLER: Hello Commissioners, this is Steve
2 Uhler. I am the petitioner. I request ample time to
3 defend my petition. I would like to note the Commission
4 is responsible for very technical items to keep the
5 energy system functioning. The agenda-- it is not
6 possible to put the information on the agenda for the
7 public to comment.

8 I would also like to note that your Section 20
9 CCR 1104 is a Bagley-Keene rule. It's authorized by
10 Bagley-Keene. It overrides Bagley-Keene. It supersedes
11 Bagley-Keene. You currently offer the public-- allow
12 the public to speak on every item, any item it says; any
13 item. So, your chief counsel is not given it to you
14 straight. You should ask the Bar, or you should ask the
15 Attorney General about when you include something, you
16 exclude everything else.

17 If the legislature wanted you to do actually
18 what you're doing today, you actually need a rulemaking
19 if you want to continue to use this as your method. You
20 can do it once in a while, but once it becomes a
21 standard, you need to adopt a regulation saying you
22 have-- you can't speak on these information items. That
23 has to actually be in the regulation.

24 You can't embellish the regulation the way
25 that the Chief Counsel is doing. No possible way.

1 Absolutely. We're talking just application of meeting
2 laws here, maximum jurisprudence.

3 It's impossible to comment on what they added
4 after the three-day-- three days before the meeting. I
5 cannot write a comment. You should have all of those
6 comments in front of you. You should have the docket in
7 front of you. You should have your copy of the Bagley-
8 Keene, which is required by the Bagley-Keene to be given
9 to you.

10 MS. RAITT: Thank you for your comment. I do
11 not see any other raised hands. Back to you, Chair.

12 CHAIR HOCHSCHILD: Thank you. And thank you,
13 Linda, for that overview and recommendation. Let's go
14 to commissioner discussion starting with Commissioner
15 Gallardo.

16 COMMISSIONER GALLARDO: Buenos dias, good
17 morning. Thank you, Chair. Linda, I wanted to go to
18 you first. Did you want to respond to anything Mr.
19 Uhler said? Or, would you like me to continue my
20 comments?

21 MS. BARRERA: Yes, I have two comments in
22 response. Mr. Uhler, thank you so much for being so
23 vigilant in ensuring that the Commission follows all
24 laws and regulations to ensure that we both give members
25 of the public adequate time to review documents and

1 comment. Just want to let you know, and for the
2 public's benefit as well, I want it-- it's my duty and
3 responsibility to run the Secretariat Office, which
4 organizes the business meeting along with the Public
5 Advisor's Office. So, I do take your comments very
6 seriously and immediately when you comment, I try to
7 figure out if there's anything that we can improve upon.

8 So, I went and looked at just, by way of
9 examples, the business meeting, this current business
10 meeting agenda, and looked at all the items that are
11 before the Commission right after this item, Item 5.
12 And I was able to confirm that, as we always do, we give
13 the public adequate time to comment.

14 Just by way of example, agenda Item 6, right
15 after this item. It's the final 2022 Integrated Energy
16 Policy Report. The Docket is 22-IEPR-101. The draft
17 report was published on February 2nd, 2023. CEC staff
18 published a Notice of Report Availability and Request
19 for Comments. That is 26 days before the business
20 meeting.

21 Another example is agenda Item 7, the
22 Preliminary Assessment of Economic Benefits of Offshore
23 Wind. That report was published on December 29th, 2022,
24 the draft report, with a Notice of Availability for the
25 public to comment. That also was published in as-- and

1 filed in the docket for offshore wind. And a
2 notification was sent to everyone who has signed up for
3 email notification regarding offshore wind.

4 Two more examples, the last two remaining
5 items on the agenda. Item 8, Clean Energy Reliability
6 Investment Plan Report. The staff published the Notice
7 of Report Availability and Request for Comments on the
8 draft report in the corresponding docket on February
9 9th, 2020-- February 9th, 2023, and sent to everyone who
10 was signed up for email modification on reliability
11 matters.

12 Last, agenda Item 9, Diablo Canyon Power Plant
13 exemption. That Notice of Availability of that report
14 and Request for Comment was published in the
15 corresponding docket on February 14th, 2023. It was
16 sent to everyone who has signed up for email
17 notification on the reliability report.

18 So that is-- those four examples just show
19 Commissioners and Chair that the CEC staff were diligent
20 to notify the public in a timely matter of technical
21 reports, policy reports, and other matters before the
22 CEC. These examples show how this CEC strives to
23 provide the public adequate time to review and submit
24 writing co-- and submit written comments.

25 And I just wanted to give you those examples,

1 Mr. Uhler and members of the public, of specific agenda
2 items that were before the Commissioners for a vote
3 where we provided not only 10 days to provide comment,
4 but additional timing in some cases like the offshore
5 wind report before the Commissioners today; the initial
6 draft was published on December 29th. So, we have been
7 providing the public sufficient time to review very
8 technical meeting reports.

9 COMMISSIONER GALLARDO: Thank you, Chief
10 Counsel Barrera, I really appreciate you explaining that
11 and being so thorough. I also wanted to thank Mr. Uhler
12 for his participation in an array of our proceedings,
13 including our business meetings. I think it is part of
14 the duty on behalf of the public to hold us accountable
15 and to also give us recommendations on how we can do
16 even better.

17 So, we take all of those comments very
18 seriously and I wanted to recognize that our chief
19 Counsel, Linda Barrera, and her team, all of the Chief
20 Counsel's office and the Public Advisor's office as well
21 review all of the comments that come through for
22 business meetings and other proceedings. They're taken
23 very seriously. So, I also want to appreciate that
24 diligence. I agree with Chief Council Barrera on that
25 and how all of our staff takes it very seriously.

1 So, I agree that we're meeting our legal
2 requirements here, and I think we even strive to do more
3 and better than what our legal requirements are, but we
4 are meeting that minimum for sure. So, I'll keep it
5 short on this end, that I don't think the amendment-- I
6 agree that the amendment is unnecessary and that we
7 should adopt the order in the back of materials. So,
8 thank you again Chief Counsel Barrera for a thorough
9 presentation and walking us through that.

10 CHAIR HOCHSCHILD: Thank you, Commissioner.
11 Any other Commissioner comments? If not, I just really
12 wanted to reiterate Commissioner Gallardo's comments.
13 I'm satisfied with the public process. We have, I
14 think, bent over backwards to take public comment and
15 engage in addition to that with, you know, Commissioner
16 meetings, with stakeholders on all sorts of issues.

17 And I think the current structure makes sense
18 where we do public comment specifically for items where
19 we're taking an action, but on items where we're not
20 taking an action, that public comment, which everyone is
21 welcome to contribute, but it happens at the beginning
22 of the meeting. I think it's appropriate. So, I'm
23 satisfied with that. And I, again, Linda, just really
24 wanted to thank you for your diligence and thoroughness
25 in looking into this.

1 And I think we should always be open-minded
2 towards any suggestions or petitions about ways we can
3 improve our process. I want to be clear about that, and
4 giving it a fresh look. But not every petition will
5 result in a change, but I think we should always be
6 open-minded, and you have been. So, I just want to
7 thank you for that. And with that, I'd welcome a motion
8 on this item from Commissioner Gallardo

9 COMMISSIONER GALLARDO: I move to approve Item
10 5.

11 CHAIR HOCHSCHILD: Vice Chair Gunda, are you
12 willing to second?

13 VICE CHAIR GUNDA: Second, Item 5.

14 CHAIR HOCHSCHILD: All in favor say aye.
15 Commissioner Gallardo?

16 COMMISSIONER GALLARDO: Aye.

17 CHAIR HOCHSCHILD: Vice Chair Gunda?

18 VICE CHAIR GUNDA: Aye.

19 CHAIR HOCHSCHILD: Commissioner McAllister?

20 COMMISSIONER MCALLISTER: Aye.

21 CHAIR HOCHSCHILD: Commissioner Monahan?

22 COMMISSIONER MONAHAN: Aye.

23 CHAIR HOCHSCHILD: And I vote Aye as well.

24 Item 5 passes unanimously. We'll turn now to Item 6,
25 the Integrated Energy Policy Report Update.

1 MS. RAITT: All right, thank you. Good
2 morning, Commissioners. Staff is requesting your
3 approval of the 2022 Integrated Energy Policy Report,
4 update or the 2022 IEPR update for short. I'm Heather
5 Raitt, the director for the report. I'm joined by lead
6 authors and others who will be presenting on topics they
7 contributed to. Mona Badie, Hilary Poore, Heidi
8 Javanbakht, David Erne, Amanda Bourdet, and Jane Berner.

9 Next slide, please.

10 So, I'll just go over a little background on
11 the report before we get into the content. The statute
12 requires the Energy Commission to assess energy trends
13 and issues facing the state's electricity, natural gas,
14 and transportation fuel sectors with updates on even
15 numbered years, as for the report being considered for
16 adoption today. The report develops policies to advance
17 clean, reliable, and affordable energy system with
18 benefits that reach all Californians.

19 Next slide, please.

20 Under Vice Chair Gunda's leadership, the
21 report focuses on embedding equity and environmental
22 justice in the CEC's work. It also puts forward plans
23 for an easily navigable online data platform called the
24 California Energy Planning Library, and an update to the
25 California Energy Demand Forecast. Further, it

1 addresses emerging topics including energy reliability,
2 western electricity integration, hydrogen, gasoline
3 prices, fossil-gas transition, and distributed energy
4 resources.

5 The 2022 IEPR update reflects input and
6 analysis from a broad array of people and organizations
7 engaged in the process. The CEC sought input from
8 industry experts, the public, and sister agencies
9 throughout the report development process. We greatly
10 appreciate their participation. We held 11 workshops,
11 one hearing, and one webinar. Again, I'd like to thank
12 the workshop participants, both the panelists and the
13 public, for their time and contributions to this report.

14 The public had opportunities to comment on
15 each workshop and on the draft report that were made
16 available in November, and on the final report that we
17 posted earlier this month. The final report reflects
18 changes made in response to public comments, and market
19 updates and forecast results that were not available in
20 November. Also, an erratum reflected a few further
21 updates and edits and response to comments on the final
22 report was posted yesterday. Commissioners, a copy of
23 the erratum was included in your meeting materials.

24 And finally, as shown on this slide, the media
25 team developed a companion document that highlights--

1 that does a great job of highlighting and condensing the
2 content of the report into a very brief format.

3 So, with that background, we'll now provide a
4 high level summary of the key findings starting with
5 Mona Badie. Go ahead Mona.

6 Next slide, please.

7 MS. BADIE: Good morning. I'm Mona Badie, the
8 Energy Commission's Public Advisor. I'll be presenting
9 on the embedding equity and environmental justice
10 portion of the 2022 IEPR, led and drafted by our very
11 own Commissioner Gallardo and the IEPR team. In 2022,
12 the IEPR included a focus on equity and environmental
13 justice for the first time.

14 Next slide.

15 Hybrid regional workshops and other engagement
16 events were conducted in the Inland Empire Salton Sea
17 region, the San Joaquin Valley, and the Central Coast,
18 and covered a wide range of equity and environmental
19 justice topics, including the historical context of
20 inequitable government policies and their connection to
21 current pollution burdens and climate vulnerability,
22 addressing barriers to community engagement, economic
23 workforce needs, and the diverse needs and capacities of
24 California's communities where more targeted customized
25 resources are needed.

1 Next slide.

2 During the IEPR update, the CEC explored
3 revisiting the energy equity indicators first developed
4 in 2018. When originally developed, the goals for the
5 indicators were to identify opportunities to improve
6 access to clean energy technologies, increase clean
7 energy investments, and improve resiliency in low-income
8 and disadvantaged communities. Comments received during
9 the IEPR process supported updating the indicators, and
10 stressed the importance of available, accessible, and
11 understandable data information. The iterative process
12 identified to update the indicators consists of scoping
13 and research, framework metrics and indicators, ground
14 truthing, and then publication.

15 Next slide.

16 The 2022 IEPR update includes CEC's first ever
17 justice, access, equity, diversity, and inclusion
18 framework in Appendix A, outlining CEC's commitment to
19 embedding energy equity and environmental justice into
20 its programs, policies, and projects. The framework
21 envisions an energy system for all Californians, and
22 includes definitions for terms such as energy equity,
23 and description as a priority beneficiary such as
24 justice communities and California Native American
25 tribes.

1 It also lays out guiding principles, best
2 practices, and considerations for implementation,
3 including engaging with justice communities and tribes
4 early, often, and meaningfully; identifying and removing
5 barriers to participation in CEC programs and
6 proceedings; including technical assistance and
7 customized resources where possible; and implementing
8 metrics for program and policy evaluation to ensure
9 accountability.

10 Next slide.

11 Several recommendations were included in the
12 2022 IEPR for embedding equity and environmental
13 justice. The first is to open an informational
14 proceeding on equity and environmental justice to
15 continue the formal dialogue. Also, a recommendation to
16 track CEC progress through future IEPR proceedings and
17 analysis.

18 Another recommendation is to hold equity and
19 environmental justice summits paired with regional
20 engagement and site visits. Also, provide more
21 customized support to tribes and communities to
22 accelerate their participation in the clean energy
23 transition, including funding for technical assistance,
24 engagement compensation, and local government
25 partnerships.

1 There's also a recommendation to establish one
2 or more dedicated workforce development positions at the
3 Commission. And, to use a regional approach to
4 engagement in coordination with other agencies,
5 including local governments. And finally, there was a
6 recommendation also to expand the supplier diversity
7 efforts so that we can reach more small and diverse-
8 owned business enterprises.

9 That concludes my presentation. Hilary Poore
10 will present next. Thank you.

11 MS. POORE: Thank you, Mona. Hello,
12 Commissioners. My name is Hilary Poore, and I'm the
13 supervisor of the Data Collection and Analysis unit in
14 the Energy Assessments Division. As a part of the 2022
15 IEPR update, Kristen Widdifield and I developed the
16 California Energy Planning Library, a new section of the
17 CEC's website that aims to house our data and data
18 products in a more user-friendly way, helping further
19 CEC's commitment to provide stakeholders with
20 transparent data and analytical tools that are readily
21 accessible and easy to navigate.

22 Next slide, please.

23 The CEC serves an important role as the
24 state's energy data repository, and the data and
25 analytical products developed by the CEC are key inputs

1 to inform the state energy planning operations and
2 policy. Prior to the California Energy Planning
3 Library, data and information was organized on the CEC's
4 website in a way that made it difficult for users to
5 navigate.

6 Recognizing that data availability is key to
7 an equitable transition and to bringing clean, reliable
8 and affordable energy to all Californians, the
9 California Energy Planning Library was conceived. It
10 aims to make data and analytical products easier to
11 find, helps identify opportunities to modernize the
12 presentation of data, links to widely used reports and
13 data, and showcases important analytical products
14 adopted by the CEC.

15 Through an IEPR workshop, we garnered
16 invaluable feedback from stakeholders on the existing
17 barriers to accessing, understanding, and being able to
18 use available data. These insights and extensive
19 engagement with CEC's subject matter experts informed
20 the development of the site map, or the California
21 Energy Planning library's organized organizational
22 structure, which is featured on this slide. By focusing
23 on external novice users and optimizing user experience,
24 the California Energy Planning Library makes CEC's data
25 and data products more accessible, available, and

1 understandable.

2 Next slide, please.

3 Data and information are foundational to
4 building the policies and tools necessary to equitably
5 achieve carbon neutrality by 2045. With the California
6 Energy Planning Library, the CEC is striving to make its
7 data and analytics more easily available to all; from
8 pure agencies engaged in energy planning to novices who
9 want to learn more. The upcoming launch of the
10 California Energy Planning Library represents a
11 milestone for the CEC in its effort to ensure that key
12 data and analysis developed by the CEC are timely,
13 transparent, and readily accessible.

14 Development of the California Energy Planning
15 Library will be an iterative process and should be
16 revisited on an annual basis. For future updates. The
17 CEC should engage stakeholders and solicit feedback on
18 how to continue to improve the new platform, ultimately
19 leading to improvements in the types and granularity of
20 the data we share.

21 Finally, we recommend the state provide
22 adequate and consistent funding to support further
23 development and ongoing data updates for the California
24 Energy Planning Library. Thank you Commissioners and I
25 will turn it over to Heidi.

1 MS. JAVANBAKHT: Good morning. I'm Heidi
2 Javanbakht, the manager of our Demand Analysis Branch in
3 the Energy Assessments division, and I'll be giving an
4 overview of the California Energy Demand Forecast
5 update.

6 Next slide.

7 Demand forecasting is one of the Energy
8 Commission's charter responsibilities. It is a critical
9 planning tool that lays the foundation for a number of
10 energy planning and procurement efforts, including
11 transmission and distribution planning, integrated
12 resource planning, resource adequacy, and other
13 activities aimed at keeping California's energy clean,
14 affordable, and reliable.

15 Next slide.

16 We forecast annual end-user electricity
17 consumption, along with peak and hourly electricity
18 demand. The forecast includes projected impacts of
19 self-generation, electric vehicles, and other load
20 modifiers. For 2022, we produced a baseline scenario
21 along with a set of additional achievable scenarios.

22 2022 was an update cycle. Often in an update
23 year, we limit the scope of our analysis to consider
24 only the additional historical data available, as well
25 as refreshed economic, demographic, and rate

1 projections. This cycle, however, our update was a
2 little more ambitious. We revised our additional
3 achievable fuel substitution analysis to include for
4 select scenarios, the potential impacts of the Air
5 Resource Board's State Implementation Plan Zero Emission
6 Space and Water Heating Measure.

7 We also developed a new scenario framework for
8 assessing potential policy and programmatic impacts
9 around transportation electrification, and we call these
10 scenarios additional achievable transportation
11 electrification. They reflect the impacts from the Air
12 Resource Board's Advanced Clean Cars II, and Advanced
13 Clean Fleet regulations.

14 We introduced a new general forecast scenario
15 framework recognizing that the greatest drivers of
16 uncertainty in the demand forecast revolve around the
17 state's decarbonization strategies. We have opted to
18 focus the bulk of our analytic efforts on developing
19 scenarios around those strategies, rather than develop
20 economic and demographic scenarios like we've done in
21 the past. So, while previous forecast vintages included
22 a high, mid, and low baseline scenario, the 2022 update
23 includes only one baseline scenario and then an expanded
24 set of additional achievable scenarios.

25 And lastly, there is an agreement between

1 leadership at the Energy Commission, the Public
2 Utilities Commission, and the California Independent
3 System Operator, the ISO, referred to as the Single
4 Forecast Set Agreement, outlining the commitments at
5 each organization to use a particular combination of
6 forecast products for particular planning purposes. And
7 for the sake of transparency, that agreement has been
8 updated and memorialized within the forecast chapter of
9 the 2022 IEPR update.

10 Next slide.

11 This plot shows the managed peak demand for
12 the ISO region for each year of the forecasts for the
13 planning forecast and the local reliability scenario.
14 The dashed blue line shows the 2021 forecast as a
15 reference. The main difference between the 2021
16 forecast and the 2022 planning forecast is the inclusion
17 of CARB's Advanced Clean Cars II and Advanced Clean
18 Fleets regulations. These add nearly 2,700 megawatts to
19 the peak in 2035 compared to 2021.

20 The planning forecast annual growth rate is
21 1.3 percent. The local reliability scenario adds 4,000
22 megawatts to the 2035 peak load, and this added peak
23 load comes from incorporation of more aggressive
24 building electrification assumptions based on the space
25 and water heater regulation proposed in the CARB's State

1 Implementation Plan.

2 These are of course high-level results. Final
3 detailed results have been docketed and posted to the
4 IEPR website, and the forecast was adopted at the
5 January 25th business meeting. That concludes my
6 presentation, and I will hand it to David Erne

7 MR. ERNE: Good morning, Commissioners. I'm
8 going to be covering four of the topics that we included
9 in our emerging items: reliability, western integration,
10 fossil gas, and distributed energy resources. So first
11 I'll start with reliability.

12 Next slide.

13 For this year, this is a follow on from a much
14 more extensive volume that we produced in 2021. So,
15 this is kind of a recap of reliability situation this
16 year based on the analysis we've conducted since 2020
17 about the situation for reliability in the state of
18 California. And what we covered in this particular
19 update was really honing in on three particular
20 challenges that we see affecting California's
21 reliability situation.

22 First is the need to improve planning, and
23 that revolves mostly around the effects that climate
24 change has on weather variability, and ensuring that
25 we're building our both demand and supply forecasting to

1 account for that variability in weather as we move
2 forward for our planning, for our procurement, et
3 cetera. We are working to improve both of those and
4 have done some work on those over the last few years,
5 but it's an area that we need to continue working on.

6 It also affects more than just those modeling.
7 There's other planning activities that the state needs
8 to consider. We need greater amounts of transmission,
9 so greater planning around the transmission necessary
10 for the build out of new resources. And as was
11 mentioned by Mona in the equity portion of the
12 discussion, the need to engage more with communities to
13 understand, on the demand side in particular, those
14 needs that they have so that we can address those in our
15 planning processes and build out our programs to better
16 address the affordability and justice community needs
17 for the state.

18 We also identify that we need a greater
19 number, or greater diversity, of resources in the state.
20 As we have mentioned in the past, supply chain
21 particularly for solar and storage, is causing
22 challenges for those resources to be relied upon for
23 sourcing as much as we would like them to be. So having
24 a greater diversity of resources will help that. We
25 also recognize that having more resources on the demand

1 side close to the load is very important, and I'll talk
2 a little bit more about that in a couple items later
3 today.

4 And lastly, because of that weather
5 variability, we're going to have more extreme events,
6 and those extreme events we're going to have to have
7 resources in order to keep the grid reliable during
8 those events. Like the strategic reliability reserve
9 that was mentioned earlier by Jorge, which is bringing
10 resources on during those times where we have those
11 extreme events to ensure that we have grid reliability.

12 We also covered some particular areas that
13 were important last year relative to the heat wave that
14 we had from August 31st to September 9th. Particularly,
15 we covered the events that happened on September 6th,
16 where we had the greatest load in CalISO territory on
17 record, which was about 52,000 megawatts. We were on
18 track for about 53,000, but customer voluntary efforts
19 and other activities helped bring us down from that even
20 greater peak.

21 The result of riding through that event
22 without any outages was in part due to strong statewide
23 collaboration. And that was not just among the energy
24 agencies, but with all the balancing authorities, the
25 utilities, and as I mentioned, individual customers who

1 supported grid-- load reduction during those high times.
2 And as I mentioned, the strategic reliability reserve,
3 which was only established in the summer of last year
4 and was ramped up by DWR and CEC to be able to support
5 that event and be able to bring resources on to keep the
6 grid operational.

7 Next slide.

8 Another topic that we covered was Western
9 electricity integration. This was pretty much a
10 situational awareness overview for the emerging topics
11 to talk about and get a baseline of what's happening in
12 the west relative to integration. We covered three main
13 topics as part of that portion of the IEPR, and as part
14 of a major workshop in December. We looked at markets,
15 we looked at resource adequacy, and we looked at
16 transmission as three critical elements of coordination.

17 For the markets, we covered two different
18 areas that are being built out in the west to help
19 expand and bring more of the renewable resources that
20 are being built to the load centers. And that's through
21 CAISO's extended Day Ahead Market and the Southwest
22 Power Pool Markets Plus program. We talk about both of
23 those programs in the IEPR.

24 For the EDAM that actually is complete.
25 CalISO voted that through their Board of Director--

1 Board of Governors and the WEIM governing body in
2 February earlier this month. And Pacific Corp has
3 already identified that they're going to be joining
4 EDAM. So, we're already having expansion of that market
5 and growing that market. It'll bring more resources to
6 bear.

7 Southwest Power Pool is in development. It
8 is expected to be focusing on the east side of the
9 Western Interconnect but could be gaining some traction
10 within the west side of the interconnect. Bonneville
11 Power Administration is putting funding towards the
12 development of Market Plus but has not basically
13 committed to being part of the Markets plus program.

14 The value of Markets Plus that was-- or the
15 Markets, excuse me, overall, that was brought to bear in
16 those conversations is that real-time markets have
17 already brought a savings of 3 billion since 2014. And
18 these day ahead markets have even greater savings to
19 bring more than 500 million to 1.2 billion annually when
20 these programs are in place and running.

21 Next, we talk about resource adequacy. The
22 major themes here for resource adequacy are that it is a
23 challenge throughout the west. We've identified in the
24 IEPR in the past couple years the tightness for
25 California entities in the RA market, but it is

1 happening across the west. The policies that are
2 similar to California's that are expanding around the
3 west are causing greater demand for a limited number of
4 clean energy resources. And so those RA conditions are
5 tight.

6 And all areas in the west are working on
7 planning for extreme events. It's not just California,
8 but having those resources available to address extreme
9 events such as the extreme heat, wildfire impacting
10 transmission like we saw in 2021. Those are something
11 that is on the minds of all Western states to be able to
12 focus on.

13 And lastly, we talked about transmission and
14 the need for more transmission. Transmission has long
15 lead times, and so it's important to get the planning
16 done and critically invest in those resources now to
17 have them available for all these new resources to be
18 interconnected as quickly as possible.

19 Next slide.

20 We also give an overview of the fossil-gas
21 transition. This again was a follow on to a large
22 volume that we had in last year's IEPR, in the 2021
23 IEPR. But again, it's an ongoing concern for the state.
24 About 31 percent of our total energy consumption is
25 still fossil gas. We have a long way to go to

1 decarbonize that use.

2 We have challenges that we need to deal with,
3 which we over-- which gave an overview in the IEPR
4 chapter. Reducing emissions is very critical, and how
5 we can do that through alternative resources like
6 decarbonization or other alternative fuels is important
7 for us to address and build into our system.

8 Also, as we're thinking about this transition,
9 maintaining safety and reliability is important. We
10 need to ensure that we are still investing wisely to
11 maintain the system that's in place to make sure that
12 it's safe and reliable, without over-committing
13 resources or over-building for a system that we may be
14 utilizing less or in different ways.

15 And lastly, minimizing rate impacts. We've
16 all seen gas prices go up recently, and making sure that
17 we're working and keeping our eyes on those prices and
18 ways that we can help minimize those rate impacts to
19 customers.

20 Lastly, we give an overview of the major
21 activities that are going on among CEC, CPUC, and CARB.
22 We have a cross coordination effort among those
23 proceedings and activities. We gave an overview of
24 CEC's gas decarbonization proceeding, which we started
25 last year. CPUC has multiple proceedings going on,

1 including on Aliso Canyon, on decarbonization and
2 renewable gas. And of course, CARB published their
3 scoping plan in December of 2022, which lays out actions
4 that can be taken by the state to meet its climate
5 goals.

6 Next slide.

7 We also cover distributed energy resources.
8 Noting that distributed energy resources are growing in
9 the state, but they're not growing fast enough. We need
10 greater investment in distributed resources to ensure
11 that we can take advantage of solutions that are close
12 to the load, help minimize our need for additional
13 transmission, to provide direct customer benefit as well
14 as grid reliability benefit through their development.

15 We have challenges associated with that. We
16 need to expand that value proposition, again, to
17 demonstrate that we can have both grid impact and we can
18 have customer impact. Finding that optimal balance
19 between DER and grid assets, and also speed the
20 interconnection. We need to get interconnection
21 happening more rapidly so we can get these resources
22 online very quickly, but also safely.

23 And we also gave an overview of both the CEC
24 and the CPUC proceedings that are going on. CEC opened
25 an informational proceeding on DER. We're going to be

1 looking at the challenges identified, and CPUC is doing
2 similar with their high DER OIR. And we're coordinating
3 among those two proceedings to try to answer those
4 challenging questions.

5 With that, that concludes my overview of the
6 sessions and I'll turn over to Amanda Bourdet.

7 MS. BOURDET: Hello, Commissioners. My name
8 is Amanda Bourdet. I'm the manager for the Data
9 Integration Branch and the Energy Assessments Division.
10 In the emerging topics chapter, weighing cost factors
11 and price spikes to delve into the reasons behind the
12 recent record high gasoline prices in California, and
13 what we are doing to plan for the transition away from
14 petroleum fuels.

15 Next slide, please.

16 We started with providing an overview of the
17 historical price premium for gasoline in California.
18 The high gasoline prices are largely attributable to
19 unplanned refinery outages, higher refinery cost and
20 profit margins, higher production costs, higher
21 dependence on foreign and Alaskan crude oil sources,
22 fees for environmental programs, higher gasoline taxes,
23 and higher distribution costs and retail margins. The
24 consistently higher gasoline prices in California
25 increased costs for consumers and businesses, and

1 particularly burden low-income consumers.

2 Next slide, please.

3 Next, we examine the price spikes in 2022 that
4 resulted in some of the highest gasoline prices in
5 California's history. In March 2022, global crude oil
6 prices spiked resulting in gasoline price spikes
7 throughout the United States with an even higher spike
8 for Californians. In October 2022, there was a
9 combination of unplanned refinery outages and lower than
10 normal inventory and tight supply, resulting in
11 California's gasoline prices diverging from US prices by
12 a record \$2.61 per gallon, nearly a dollar per gallon
13 higher than the previous record set in March. During
14 this time, oil refineries realized exceedingly high
15 profits.

16 Next slide, please.

17 So given these trends in high gasoline prices,
18 a number of activities are occurring to look at ways
19 California can mitigate gasoline price spikes, ensure a
20 reliable supply of gasoline, and plan for the transition
21 away from petroleum fuels. In December 2022, a special
22 session was called by the governor to introduce proposed
23 legislation to protect consumers from fuel price
24 gouging, and shed greater transparency on refinery
25 maintenance schedules, supply contracts and inventory.

1 Additional data about refinery operations is
2 necessary to better understand the impact of planned and
3 unplanned refinery outages, and inventory levels on
4 gasoline prices. With price volatility issues becoming
5 more problematic in future years, a more detailed
6 understanding is necessary to ensure that Californians
7 are not overly burdened. The CEC is developing a
8 transportation fuels transition study to plan for and
9 track progress on the state's transition away from
10 petroleum fuels and toward a reliable, safe, equitable,
11 and affordable transportation fuels future.

12 Thank you, Commissioners. That concludes my
13 presentation and I'll turn it over now to Jane Berner.

14 Next slide.

15 MS. Berner: Good Morning. Jane Berner, from
16 the Fuels and Transportation Division. I will briefly
17 summarize the section of the 2022 IEPR update that
18 focuses on the role of hydrogen in California's clean
19 energy future.

20 Next slide, please.

21 This section of the IEPR discusses potential
22 uses of low carbon hydrogen to reduce greenhouse gas
23 emissions. This figure shows many of these potential
24 uses, including hard to electrify industrial processes,
25 and hard to electrify transportation such as trucking,

1 rail and marine applications, and aviation. Low carbon
2 hydrogen may also play an important role in grid
3 reliability with potential uses in seasonal energy
4 storage and power generation. And, it offers
5 opportunities to develop new business in California such
6 as in green ammonia production.

7 For hydrogen to play any of these roles, the
8 supply of hydrogen must increase substantially and be
9 low-carbon. Today, almost all hydrogen is made from
10 fossil fuels and production must evolve to low-carbon
11 processes. In the recently adopted Scoping Plan Update,
12 the California Air Resources Board estimates that the
13 supply of low-carbon hydrogen will need to increase 1700
14 times over current levels if California is to reach its
15 greenhouse gas emission reduction targets under the
16 scenario envisioned by the plan.

17 Next slide, please.

18 The IEPR makes several recommendations for
19 actions the state can take to make sure this potential
20 growth in hydrogen production and use is done
21 responsibly. First off, is to support a standardized
22 method of measuring the climate benefits of hydrogen
23 that is transparent, accounts for full lifecycle
24 emissions, and allows for comparison between varying
25 feed stocks and production processes.

1 Second, is to support target setting for
2 reducing greenhouse gas emissions from hydrogen
3 production. Just like the state has set a timeline for
4 making the electrical grid renewable, so could a
5 timeline be set for hydrogen.

6 Also important is conducting analysis of
7 hydrogen supply to ensure that it is adequate to support
8 decarbonization where needed. An analysis is also
9 needed to ensure that there is sufficient electricity to
10 support low-carbon hydrogen production using
11 electrolysis, which is a low carbon way of making
12 hydrogen from electricity and water.

13 Finally, the Federal Hydrogen Hub Initiative
14 is a unique opportunity to jumpstart this envisioned
15 low-carbon hydrogen ecosystem in California. The CEC
16 must continue to work with the Alliance for Renewable
17 Clean Hydrogen Energy Systems, or ARCHES, to ensure that
18 California secures a federal hydrogen hub.

19 That concludes my slides, and I will now hand
20 it off to Heather, right to close at this presentation.

21 MS. RAITT: Thank you, Jane. Next slide,
22 please.

23 So before concluding, I'd just like to take a
24 moment to thank you, Vice Chair. for your guidance and
25 leadership throughout this year. And also, to thank

1 your staff, Ben Finkelor, Liz Gill, Erik Lyon, and Miina
2 Holloway for their support. And to, I'd like to thank
3 Chair Hochschild, Commissioner Monahan, and Commissioner
4 McAllister for your insights and guidance. And to thank
5 Commissioner Gallardo for leading us on developing the
6 equity and environmental justice focus for this report.

7 And clearly this is a big report. It is a
8 huge team effort and includes many folks beyond those
9 who presented today made. So, we had contributions from
10 staff from the energy assessment division, the research
11 and development division, the siting division, as well
12 as the dockets team, web team, PAO, plus legal office,
13 IT and media. And I'm very grateful to everybody who
14 contributed. We're so fortunate to have so many
15 dedicated staff working on this.

16 And finally, I'd like to thank Harrison
17 Reynolds who helped with some of our workshops, and
18 especially to thank the core IEPR team, Stephanie
19 Bailey, Raquel Kravitz, and Denise Costa, who work with
20 us -- work on this every day, and they make things
21 happen from behind the scenes.

22 So that concludes our presentation. And in
23 addition to the staff presenting today, Lisa DeCarlo
24 from the Chief Counsel's office is available to address
25 any questions you may have. Again, staff requests that

1 you adopt the 2022 IEPR update, incorporating changes
2 detailed in the erratum. Thank you.

3 CHAIR HOCHSCHILD: Well, thank you so much
4 Heather once again, for all your professionalism and
5 hard work and everyone on the team. We'll go to public
6 comment before Commissioner discussion. So, Mona, do we
7 have public comment on Item 6?

8 MS. BADIE: Hello. Thank you. This is Mona
9 Badie, the Public Advisor. The Commission now welcomes
10 public comment on Item 6. If you are joining by Zoom,
11 please use the raise-hand feature on your screen to
12 notify us you wish to make a comment. And if you're
13 joining by phone, please press star-nine to raise your
14 hand. Comments will be limited to two minutes per
15 speaker and one speaker per entity. And we have some
16 raised hands. First, we have call-in user one
17 identified on the Zoom. I'm going to open your line.
18 Please state and spell your name for the record, and
19 make your comment.

20 MR. UHLER: Hello Commissioners, this is Steve
21 Uhler. On this particular item, I'd like to bring up a
22 point for your Chief Counsel. She should probably
23 review 11125(e) of the Government Code for the audit
24 that's supposed to be done per 14911, as it relates to
25 125(d) of the Government Code. First sentence.

1 Somebody forgot to send me notice. The only
2 way I know it is because I watch the dockets. So, with
3 that done, you know, the grid is an AC circuit. And
4 back when I was in junior high, you know, when they
5 called it junior high, my electronics teacher told me
6 all about power factor. I-- you really need to bring in
7 power factor.

8 You also need to be able to augment that with
9 behind the meter data, which you have rights to under
10 1353. You need to get that published, that data
11 published. I'm talking about some of the things that
12 feed the IEPR as far as data modernization, that you
13 need to get the data out to the public. You also need
14 to be ready to use it, because a lot of your difficulty,
15 no doubt, comes from power factor. I doubt that any of
16 your staff can give you scientific evidence that power
17 factor is not affecting.

18 So also, on the-- now it's the California
19 Energy Planning Library. What happened to just simply
20 the California Planning Library. Will this library be
21 accredited in any way? And to your government agency,
22 it's good to have accreditation for your library,
23 quality standards and such.

24 Accurate data in that area. If Tableau is
25 part of your system -- it's not Tableau's fault, Tableau

1 only reports it. But the background data, I've looked
2 at the structures, there's a-- there's missing data,
3 incorrect data, and there may not be any data dictionary
4 because people are--

5 MS. RAITT: Thank you for your comment. We
6 also have another raised hand, Tim Ransdell. I will
7 open your line. Please spell your name for the record,
8 state any affiliation, and we welcome your comment.

9 MR. RANSELL: Thank you very much. This is
10 Tim Ransdell, T-I-M R-A-N-S-D-E-L-L, with SoCalGas.
11 Good morning, Commissioners. Thank you. SoCalGas would
12 like to thank the CEC for its hard work on the IEPR
13 update, and in particular for including the US
14 Department of Energy's National Clean Hydrogen Strategy
15 and Roadmap in the final 2022 IEPR update.

16 As we work collectively toward reaching
17 California's decarbonization goals, building a green
18 hydrogen economy to decarbonize both heavy duty
19 transportation and hard to electrify industrial
20 processes will play a critically important role.
21 Referencing federal estimates of greater amounts of
22 green hydrogen serves to support the state's strategic
23 efforts, and it also reinforces the IEPR recommendation
24 to apply for federal funding through DOE's Hydrogen Hub
25 initiative.

1 SoCal Gas is committed to developing the green
2 hydrogen economy through projects like the Angeles Link,
3 which could displace three millions of gallons of diesel
4 fuel per day once fully operational. In addition, SoCal
5 gas is partnering with UC Irvine to demonstrate hydrogen
6 blending up to 20 percent levels on sections of the
7 existing campus grid. Finally, SoCalGas recently opened
8 the H2 Innovation Center, which boasts a microgrid based
9 on solar PV in combination with batteries and
10 electrolysis, and blends hydrogen up to 20 percent with
11 existing conventional appliances.

12 SoCalGas is proud to partner with the
13 Commission and the state on our joint path toward a
14 cleaner, safer, more reliable, more just, and more
15 sustainable future for California and Californians.
16 Thanks very much for your time and your work.

17 MS. BADIE: Thank you for your comment. I do
18 not see any other raised hands, Chair, so back to you.

19 CHAIR HOCHSCHILD: Okay, before I turn it over
20 to the Vice Chair for some opening comments, I wanted to
21 just reflect a little bit. You know, the Energy
22 Commission, the authorizing legislation, the Warren
23 Alquist Act, was born out of a crisis, the oil crisis in
24 the mid-seventies. And the IEPR authorizing legislation
25 by Senator Bowman in 2002 was also born out of a crisis,

1 the electricity crisis of 2001.

2 And you know, we're facing a number of crises
3 ourselves -- both grid reliability, spiking gasoline
4 crises and so on. And you know, I think we will never
5 be in a period where we're not facing those kind of
6 things in California. But the role here is really to
7 get ahead of it as much as we can and make it better,
8 and I think reduce the number of crises that we face.

9 I do really want to highlight all the work,
10 both the content and the process. And there's really
11 two outputs I think from the IEPR. You know, one is the
12 report itself. But the second is really the process of
13 putting that together and the exhaustive public comment
14 and dialogue.

15 And I really, again, Heather, want to thank
16 you for the extraordinary work, not just this year but
17 over the course of your career, on facilitating that so
18 successfully. And also to recognize in addition to the
19 rest of your team that worked on this, I think it's
20 really important we make this content accessible to and
21 readable to the public. And so, Lindsay, especially the
22 summary document that you are putting together to kind
23 of pull out the key highlights, I think is essential to
24 process and making it understandable to the public.

25 And then finally, Vice Chair Gunda, to you on

1 top of a very, very full docket of responsibilities you
2 already have, to have taken this on this year. I really
3 want to recognize the incredible work and diligence and
4 congratulate you. So, with that over to you, Vice Chair
5 Gunda.

6 VICE CHAIR GUNDA: Thank you. Thank you so
7 much, Chair. Thanks for the kind words. I want to
8 start off with a big thank you. And just the IEPR team
9 first, Heather, Stephanie, Denise and Raquel, what a
10 splendid team we have in the four of them. And the
11 entire IT, the support team that works behind the scenes
12 to make all this happen. So Heather, thank you so much
13 for not only being a kind of a fun collaborator, but a
14 wonderful colleague and a friend. These things, when
15 you work on these long things, it bonds you. So, thank
16 you so much for getting us through this year.

17 On equity, I want to just thank Commissioner
18 Gallardo now. But in her Public Advisor role prior,
19 really led and was the inspiration for the scope of the
20 IEPR to center around equity. So, I just want to say a
21 big thanks to her and Mona, our current advisor,
22 Katrina, and a couple of other people that were stars --
23 Akruti Gupta, she was an intern for Stanford, Joan Raid
24 (PHONETIC) from local governments. It's just a
25 wonderful group of people that landed that. So,

1 Commissioner Gallardo, thank you so much for helping
2 focus on equity but also helping land this important
3 work.

4 Planning library -- Hilary and Kristen and
5 Erica Brand on the land use screens. I could not have
6 asked for more. You know, we started with the idea of a
7 planning library and I know we kind of got a little bit
8 of input from other agencies to make it an energy
9 planning library -- so that there are other planning
10 libraries out there for water and others. When they pop
11 up, there's no confusion. But I did not anticipate the
12 amount of progress we made this year. So, Hilary and
13 Kristen and Erica, thank you so much for your work.

14 Forecasting is bread and butter. And as
15 Commissioner McAllister says, is foundational to who we
16 are. So, Heidi, Quentin, Ingrid, Jesse, Anise, Bob,
17 Eaton and Mark and-- to name a few. There's a lot more
18 people who work on this, but it's foundational. So I
19 just want to thank you for not only, you know,
20 completing the forecast but taking on these additional
21 steps of overall framework architecture and how we
22 present forecast moving forward to really embrace the
23 idea that forecasting is moving from purely supporting a
24 planning function, to more of a policy function. So,
25 you all taking that position to help inform the

1 scenarios is extremely helpful. And just before I close
2 on the forecast, just a really, really big thanks to
3 Nick Fugate for his tremendous leadership.

4 On emerging topics, you know we just heard
5 from the core people, reliability, David, vast
6 integration, Grace Anderson, Chris McClean, Mark
7 Hesters. Gasoline prices, obviously Amanda who just
8 presented, but Gordon who we don't have at CEC anymore,
9 Gordon Schremp. But East Brand and Quentin behind the
10 scenes for really helping craft that. Gas transition,
11 Jennifer Campania. On the DER stuff, you know, Tom
12 Flynn.

13 Hydrogen, Jane, thank you for your wonderful
14 presentation. But you are also tackling what was
15 supposed to be a one pager, and then quickly evolved to
16 a much massive work that you then compiled it back down.
17 So to you and your team, Peter, you know, Bart, Kevin,
18 Mickey, everybody, thank you so much for all your help.

19 Just a couple of other high-level people.
20 Aleecia Gutierrez, EAD director. Thank you for your
21 unwavering support of the team and just supporting them
22 to move forward in a good way. I always leave out our
23 office team, you know but I do want to take a moment to
24 say Liz, Ben, Eric Miina, thank you so much for your
25 extraordinary work this last year. We've taken so much

1 last year as an office, and we could not have done that
2 without each one of us you know working together as
3 family. So, thank you to the four of you for not only
4 doing good work but also helping me stay on the top.

5 So, one person on the side which I'm going to
6 thank separately Terra Weeks, Kat from Chair's office
7 and Ken, Carol also took contact responsibility in
8 supporting her office. So, thank you Tara. Special
9 thanks to you Carol Robinson, Lindsey, Chris from Media
10 Office. Thank you for all your work.

11 So, I just wanted to, you know, know at least
12 state hi, thank yous. As Heather mentioned, two points
13 I want to reiterate from Heather's comments. One, this
14 is truly a CEC product, and I think this last year we
15 had an opportunity to bring so many people together, and
16 on how to work on this issue. So, it's an important
17 medium through which the CEC as a whole works together.
18 And then the two -- in the public process and our
19 engagement, so those two functions, I think we've done a
20 really good job last year.

21 Now reflecting back into early 2022, before we
22 landed the scope we had a retreat and we talked about
23 what the IEPR could be. A few priorities out of that
24 that came up, was we were going to consider a new
25 framing for IEPR. So, three sections.

1 One was you know a critical piece like equity
2 was the focus. We said we were going to take one core
3 topic and dive deep. Second, we are going to continue
4 and basically do our mandatory stuff like forecast and
5 stuff, which are expected for us to deliver in the IEPR.
6 And third, we were going to have a section on emerging
7 topics. And that's what we tried to experiment last
8 year and I think we did a good job.

9 And obviously from my perspective, this is one
10 opportunity for staff development. Writing these
11 rigorous thought pieces and assembling these large
12 amounts of words is actually really beneficial for staff
13 to gain and internalize the insights that they're
14 planning to-- or that they're putting out.

15 So, I think we did a really good job on both
16 landing an IEPR that's about a hundred pages-- Heather.
17 We wanted to be bold and say 50, but we landed at a
18 hundred. But also, kind of this additional function
19 that Lindsay brought in which is the highlights, right,
20 the compendium. I think, you know, that's a good model
21 for staff to be able to continue to work diligently and
22 creating a broad public record for record out there as
23 we take into account these important decisions. But
24 also, a compendium as the Chair mentioned, that's good
25 to digest and highlights the key areas.

1 So, before I close, as I close this, I mean I
2 didn't talk about equity because I want Commissioner
3 Gallardo to talk about it. I'll defer to her. But one
4 piece is that we have four functions at CEC. The way I
5 think it's -- you know, being the state's data
6 repository, being the state's planning and policy arm,
7 being able to, you know, do our regulatory functions
8 like the codes and standards and siting, and finally the
9 kind of clean energy investment vehicle for the state.

10 So, we have those four functions. IEPR falls
11 in the first two, data, and policy and planning. And
12 for me, CEC succeeds when we become the ideation
13 platform, the neutral objective ideation platform that
14 really uncovers and raises issues and then puts out
15 recommendations for consideration at our sister
16 agencies.

17 So, I think you know that's where we should
18 strive towards. I think we did a good job in 2022. And
19 I know that Commissioner Monahan is going to dig into
20 some media topics this year, and look forward to
21 supporting her as we go through. So Heather, a big
22 thanks again to you, and I'll pass it to the Chair.

23 CHAIR HOCHSCHILD: Great, thank you, Vice
24 Chair. Alright, other Commissioners wishing to comment?
25 Commissioner Gallardo.

1 COMMISSIONER GALLARDO: Thank you, Chair. So,
2 I wanted to start out with uplifting the work of Vice
3 Chair Gunda. He did a tremendous job with this IEPR,
4 and I want to personally thank you for enabling me to
5 participate as then Public Advisor. It was gratifying
6 and a stimulating experience.

7 And I am also just extremely grateful to you
8 for being so receptive to bringing in equity and
9 environmental justice so deeply into an IEPR. And I
10 think the Energy Commission has been doing work on
11 equity and environmental justice since its beginning,
12 and now we're doing more to formalize it, to structure
13 it, and just you know embedded in all of our processes,
14 policies, you know, proceedings, and even operations.
15 So, thank you for that Vice Chair Gunda.

16 I also wanted to thank quickly Mona, our
17 public-- current Public Advisor and Katrina Leni-Konig,
18 our tribal liaison. They were both fundamental to that
19 equity and EJ section, so I wanted to make sure they got
20 that credit. And I know you highlighted them as well,
21 Vice Chair Gunda, but wanted to do that also on a
22 personal level for myself.

23 So, I'll be quick on the equity and EJ
24 portions because we have a substantial other number of
25 things to go over. But I think it was just great

1 timing. So, we didn't know that Governor Newsom was
2 going to put out a directive to all state agencies to
3 embed equity into our work. He did that after we
4 already started our IEPR process this year, or for 2022,
5 excuse me.

6 And it was just perfect timing so that we are
7 going to have the J&I framework available to help us
8 guide staff in our work as we're taking the steps
9 through our action plan. So, all of that will work
10 really harmoniously, and so you know it's just great
11 timing that we did it that way. And the framework
12 really I'm excited about, because it's going to be our
13 north star for the Energy Commission on what we're
14 doing. It'll be a tool for staff to be able to
15 standardize more of the ways that we look at things, how
16 we describe things, how we define things, and you know
17 using terminology such as justice communities and what
18 does that mean and the tribes.

19 So, I'm really excited about all of that. So
20 again, thank you for enabling me to participate. It was
21 wonderful to see you so graciously manage our internal
22 team, Vice Chair Gunda, in partnership with Heather
23 Raitt and her team. And then also, how you brought in
24 our peer agencies so deeply and thoroughly. So, I you
25 know, learned from that and just really appreciate all

1 that you did. I'll leave it there and turn it back to
2 the chair.

3 CHAIR HOCHSCHILD: Thank you. Any other
4 Commissioners wishing to come -- yeah, Commissioner
5 McAllister, please.

6 COMMISSIONER MCALLISTER: Great. Well, we'll
7 try not to repeat. But I just first want to lead off
8 with just gratitude and acknowledgement of Vice Chair
9 Gunda for your just leadership on so-- on really such a
10 diverse array of topics. I mean the beauty as you said
11 of the IEPR is that it has its core responsibilities,
12 and we take those incredibly seriously. We build, we
13 have a really deep bench and lots of expertise on the
14 forecasting and other areas that we have to focus on in
15 the IEPR.

16 But the emerging topics areas, I think, are
17 absolutely key, and you did a really good job of
18 identifying the most salient topics of kind of the day
19 and really digging into those. And not just figuring
20 out how to assemble content that's sort of a snapshot,
21 but also, I think, strategically locate some of that
22 work so that it can have continuity going forward. And
23 I really think that innovation of the structure of the
24 IEPR is very insightful and visionary. So just kudos to
25 you for that, bringing that level of kind of situational

1 awareness and kind of forward thinking.

2 I want to just -- I will repeat something that
3 you said, Vice Chair, which is that the, you know, the
4 Energy Commission is, I think, becoming really
5 inexorably, and it's very intentional you know, across I
6 think all of our offices, that the-- a world-class kind
7 of node of expertise on energy planning issues. And so
8 with all the data work and the analytical team we're
9 building and just all of the interagency collaborations,
10 making those connections and really trying to stay ahead
11 of these challenges that we face that both you and the
12 Chair mentioned.

13 You know, we are showing that we can rise to
14 that occasion, and I really think the IEPR has multiple
15 kind of purposes. And building that expertise,
16 providing that experiential base for staff to build the
17 expertise, and then going public and being accountable
18 with that, and then feeding back those lessons into the
19 next time, is just really critical for how the-- the
20 IEPR allows us. We have deep authority that allows us
21 to use it for those purposes as well. So just really
22 kudos for seeing that. And it may-- you know, just
23 really excited to keep that momentum going you know this
24 year, and following IEPRs.

25 Just a few topics. So, the forecast just

1 really want to elevate that evolution from just the sort
2 of data driven and econ-demo and the traditional ways
3 that we've done it, moving it to be more salient from a
4 policy perspective. So, I think that absolutely has
5 tons of value, include just having a baseline and then
6 having scenarios that really do express our policy
7 directions. And I think that also should be carried
8 forward in future IEPR's. And this-- you know,
9 obviously this year will be a full forecast. So, the
10 rubber will really be hitting the road there.

11 And finally, I guess I just wanted to mention
12 the emerging sort of even more complete engagement
13 across many themes in the IEPR, but definitely
14 forecasting. But many of the themes, you know, you
15 heard the CARB scoping plan, and the State
16 Implementation Plan, and just many kind of parallel
17 efforts that are happening in our sister agencies.
18 Plenty, you know, the DER work, and the multi-- rate
19 making work over at the PUC.

20 Having the conversation in the IEPR embrace
21 those and begin to put numbers to those efforts and
22 really sort of map where the other agencies are saying
23 and planning to go, saying they're going and planning to
24 go, mapping those over into our work so that it just--
25 we are keeping it real. I mean I think that's the goal,

1 right? Is to really keep it grounded, and not sort of
2 spin off into theory and sort of let the models drive
3 it, but actually let the reality drive it and build the
4 models to reflect and incorporate the policy direction.

5 And so, I'm really, you know I think on the
6 for example, the big energy policies to essentially
7 sunset combustion heating devices by 2030, that is going
8 to move the needle in a huge way on buildings. And so
9 that's new news, really, that we're utilizing our
10 respective authorities in ways that really are going to
11 you know, provide a hockey stick for the marketplace.
12 And I'm really, you know, projecting that five, 10 years
13 out is key, and then building that into the forecast.

14 So, I'm just really happy with the way the
15 structure and the content of the forecast is evolving,
16 and just kudos to the whole team. Heather, you know, as
17 usual, we don't take you for granted, but you're just so
18 good. And just really so ably, you and your team sort
19 of embody the competence that the Energy Commission
20 seeks to build across the board. So, thank you so much
21 for all your efforts. And I'll pass it back to the
22 Chair.

23 CHAIR HOCHSCHILD: Thank you. Commissioner
24 Monahan?

25 COMMISSIONER MONAHAN: Yeah, I'm going to be

1 brief. But it was actually just great to hear everybody
2 comment on all the benefits of this year's report, and
3 just highlight the amount of work and the number of
4 people that went into creating this report. So it's
5 just really impressive.

6 And I want to start, well first to you Vice
7 Chair Gunda for your leadership and vision. And just I
8 want to say, you know, as the person who's going to be
9 leading this year's energy policy report, that you have
10 given me sort of shoulders to stand on. Well, you
11 together with Commissioner Gallardo, then Public Advisor
12 Gallardo, and just really the amount of opportunity we
13 have to use this report to help consolidate sort of the
14 best thinking across the state, across all agencies.

15 I think as you said, Vice Chair Gunda, that an
16 opportunity for ideation that we don't want to publish a
17 report that really just speaks to us, but we're trying
18 to publish a report that speaks to the state. This
19 isn't a parochial effort of one agency, it really is
20 meant to be a report that informs energy policy at large
21 across the state. So, excited for that opportunity,
22 excited to work with you, Vice Chair.

23 And I -- one of the many things I really
24 appreciate about the Energy Policy Report is that it
25 gives us a chance as Commissioners to talk to each

1 other, and to brainstorm and really to have open
2 conversations that we must have in public when we're
3 dealing with policy, energy policy issues. So that is
4 just something really valuable that I deeply appreciate.

5 And I want to also emphasize that Vice Chair
6 Gunda, you were the one who was like, let's have ongoing
7 proceedings like gas decarbonization that have long
8 trajectories but then embody in the IEPR sort of the key
9 lessons learned. And that is also something we're going
10 to take into this year's IEPR.

11 And I actually look forward to exploring how
12 we continue to deepen our attention to equity and what
13 that looks like. Last year there was a big focus, you
14 know what makes sense for this year in terms of building
15 on that and highlighting that. And I think that's
16 something we need some input from you, Commissioner
17 Gallardo, about what your best thinking is, and also the
18 Public Advisor.

19 So, I just want to say finally, that I think
20 that we learned a lot from last year and this year we're
21 tackling huge topic in terms of just how do we speed the
22 interconnection, deployment of clean energy resources on
23 the grid. And doing it from a cross agency perspective,
24 doing it from a perspective of equity are all things
25 that I'm taking into this year's IEPR.

1 Oh, also though I want to award for anybody
2 who can come up with a better term. I'm calling it
3 Energy Policy Report. There's a better term. I think
4 at this point, integrated energy is redundant; energy is
5 integrated by its very nature. So anyway, anybody who
6 comes up with a good term of art, I will take you out to
7 a nice dinner. And I pass it back to you, Chair.

8 CHAIR HOCHSCHILD: Thank you. With that I
9 would welcome a motion from the Vice Chair on Item 6.

10 VICE CHAIR GUNDA: Motion to move Item 6.

11 CHAIR HOCHSCHILD: Commissioner Monahan, would
12 you be willing to second Item 6?

13 COMMISSIONER MONAHAN: I second.

14 CHAIR HOCHSCHILD: All in favor say aye. Vice
15 Chair Gunda?

16 VICE CHAIR GUNDA: Aye.

17 COMMISSIONER MONAHAN: Commissioner Monahan?

18 COMMISSIONER MONAHAN: Aye.

19 COMMISSIONER MONAHAN: Commissioner
20 McAllister?

21 COMMISSIONER MCALLISTER: Aye.

22 COMMISSIONER MONAHAN: Commissioner Gallardo?

23 COMMISSIONER GALLARDO: Aye.

24 COMMISSIONER MONAHAN: And I vote aye as well.

25 Item 6 passes unanimously. And now I've been waiting

1 all day to say this, on with the wind. The preliminary
2 assessment of the economic benefits of the offshore wind
3 related to seaport investments and workforce
4 development. Welcome, Paul Deaver.

5 MR. DEEVER: Good morning Chair, Vice Chair
6 and Commissioners. My name is Paul Deaver. I'm in the
7 Siting Transmission and Environmental Protection
8 Division on the Offshore Wind Team. Today I'm going to
9 present the preliminary assessment of economic benefits
10 from offshore wind as required by AB 525. Before that,
11 a quick background on AB 525.

12 Next slide, please.

13 AB 525 became effective on January 1st, 2022,
14 and it tasks the CEC, in coordination with an array of
15 specified local, state, and federal partners, and with
16 input from stakeholders, to develop a strategic plan for
17 offshore wind energy developments installed off the
18 California coast in federal waters by June 30th, 2023.
19 The strategic plan will be informed by several interim
20 work products, including this report that I'm presenting
21 today. The strategic plan will be informed by the CEC's
22 Conceptual Permitting Roadmap for offshore wind energy
23 facilities, which was published and workshopped in
24 December of last year. The strategic plan will also be
25 informed by the CEC's Offshore Wind Planning Goals

1 report published and adopted in August of 2022.

2 Next slide, please.

3 A California offshore wind industry could
4 produce significant near-term and long-term economic
5 benefits for California. Port and waterfront
6 investments can serve as a significant economic driver
7 to local regions and the state, potentially resulting in
8 hundreds of millions of dollars in new economic
9 activity. This could also create a wide range of good
10 paying jobs that require skills, training and education.
11 Most jobs would likely be in the supply chain and
12 manufacturing sectors, providing opportunities for long-
13 term skilled positions for Californians. Also,
14 investment and spending related to port and workforce
15 development could generate tax revenues at all levels of
16 government including state, county and city or local
17 levels.

18 Next slide, please.

19 Seaports, or ports, are essential for the
20 development of a new offshore wind industry in
21 California. They are an important driver of potential
22 economic benefits including job creation and economic
23 growth opportunities. They have the potential to serve
24 as strategic hubs to support a workforce that can
25 assemble, fabricate, install, and operate and maintain

1 offshore wind turbines and related components .
2 Initially, California ports may not be able to handle
3 all the required activities to support industry
4 development. Significant investment is needed to
5 develop port facilities necessary for the construction
6 and transport of floating offshore wind turbines .

7 Next slide, please.

8 A wide range of skill sets and occupational
9 types will be required for the offshore wind workforce .
10 Some of these include construction, manufacturing,
11 engineering, operations and maintenance, sales, as well
12 as maritime services. Many other jobs will also be
13 needed such as longshoreman and tugboat and other
14 watercraft operators. Most of the new offshore wind
15 related workforce will require training and or
16 certification that matches the pace of deployment for
17 offshore wind, particularly for construction and
18 manufacturing.

19 Next slide.

20 Staff reviewed several studies to understand
21 the potential economic benefits associated with court
22 investments and workforce developments needed to support
23 offshore wind energy. The studies made various
24 assumptions about how much and when offshore wind
25 capacity is built, the sourcing of content, whether it's

1 domestic or foreign, scope of the supply chain, the
2 technology types, and a geographical scope of the
3 economic benefits. These studies generally indicate
4 that to realize economic benefits from offshore wind, it
5 must be developed at scale.

6 Next slide, please.

7 Fixed bottom offshore wind has been
8 commercially deployed on the East Coast, which is more
9 mature than the floating offshore wind technology that's
10 going to be required on the West Coast. Staff reviewed
11 studies from the East Coast to understand the potential
12 economic benefits from developing fixed bottom offshore
13 wind industry, and how the floating offshore wind
14 industry on the West Coast could learn from some of
15 these experiences.

16 Some East Coast states have invested in the
17 hundreds of millions of dollars into seaports. For
18 example, New Jersey has allocated over 500 million in
19 public funding to develop the New Jersey wind port,
20 which is going to be the first purpose-built offshore
21 wind marshaling and manufacturing port in the US. The
22 New Jersey wind port is expected to create over a
23 thousand jobs and 500 million in economic output during
24 the construction phase. This using union workers and
25 targeted hiring practices. The New Jersey wind port is

1 expected to support manufacturing, construction,
2 operations and maintenance, and produce thousands of
3 jobs per year and up to 500 million in economic output
4 per year.

5 In New York, they assessed the existing ports
6 and infrastructure to understand which ports could
7 support the construction and maintenance of offshore
8 wind energy, and they found that most of the port
9 locations will need upgrades. In 2022, the New York
10 governor announced a \$500 million investment into
11 offshore wind port infrastructure and supply chain
12 development. This \$500 million investment is expected
13 to leverage more than \$2 billion in private capital
14 while creating more than 2,000 jobs. Other East Coast
15 states like Maine and Virginia are not quite as far
16 along yet as New York and New Jersey, but those states
17 are starting to invest in an offshore wind roadmap and
18 port upgrades.

19 Next slide, please.

20 Because ports and waterfront facilities are
21 critical for developing a domestic offshore wind
22 industry, California has started making strategic
23 investments to prepare ports for offshore wind. In
24 March of 2022, the CEC approved a \$10 million grant to
25 the Humboldt Bay Harbor District to support the

1 development of a new multipurpose offshore wind marine
2 terminal at the Port of Humboldt.

3 In September 22, AB 209 authorized the CEC to
4 create and administer a new program to support offshore
5 wind infrastructure improvements that advance the
6 capabilities of California ports, harbors, and other
7 waterfront facilities to support buildout of offshore
8 wind facilities and maximize the economic and
9 environmental benefits of offshore wind to California.
10 As part of AB 209, the 2022-2023 state budget
11 appropriated \$45 million to the CEC for this program.
12 This is to be developed in 2023. Most of the \$45
13 million is expected to be used to provide incentives to
14 support offshore wind infrastructure.

15 CEC has started to explore starting the
16 rulemaking process including timing, preparing workshops
17 for discussion and input prior to drafting proposed
18 guidelines. Starting in March of 2024 CEC will prepare
19 annual reports for the budget and relevant policy
20 committees of the legislature that will track funding
21 expenditures, describe how the funds are used to meet
22 program goals, and also estimate electric reliability
23 and GHG impacts from the programs.

24 Next slide, please.

25 California is pursuing recent federal funding

1 made available by the Inflation Reduction Act of 2022,
2 the Infrastructure Investment in Jobs Act, along with
3 Department of Energy funding to support offshore wind
4 development and investment in local voting offshore wind
5 supply chains. These programs includes incentives and
6 tax credits including production and investment tax
7 credits, as well as competitive grants to support
8 offshore wind. The US Department of Energy FLOWIN prize
9 investment targets opportunities to grow the domestic
10 manufacturing and supply chain capabilities to support
11 floating offshore wind.

12 Next slide, please.

13 AB 525 requires the CEC to complete a
14 preliminary assessment of economic benefits of offshore
15 wind related to seaport upgrades and workforce
16 development needs and standards. This report meets the
17 statutory mandate. The Preliminary Assessment Report
18 was released in mid-December 2022, and a workshop was
19 held on December 19th, 2022. Other related workshops
20 were held throughout 2022, including two in October.

21 Comments for the report were due by February
22 8th. The CEC received over 20 comments on the report.
23 Most of these were positive, and included comments from
24 labor organizations, environmental groups, local
25 governments, fishing industry groups, industry

1 representatives, and the Northern Chumash Tribal
2 Council.

3 The Preliminary Assessment Report was
4 finalized and docketed on February 24th of this year.
5 The preliminary assessment of economic benefits will
6 inform the AB 525 Offshore Strategic Plan, which is due
7 by June 30th of this year. The strategic plan will
8 address many of the comments received, including
9 identifying potential impacts to coastal resources and
10 fisheries and strategies to mitigate those impacts, as
11 well as workforce development.

12 Next slide, please.

13 So, for some of the comments received, labor
14 organizations generally stress the importance of using
15 local unionized labor for California to realize the
16 economic benefits from offshore wind. They commented
17 that training and apprenticeship programs can help
18 provide economic and job opportunities in underserved
19 communities.

20 Some of the environmental groups commented
21 that offshore wind development should consider social
22 benefits along with the economic benefits, such as clean
23 air, quality of life, electric reliability, those sorts
24 of things. They also commented that offshore wind
25 development should consider potential environmental

1 impacts and strategies to mitigate them. Offshore wind
2 should be developed sustainably and safely to avoid and
3 minimize environmental impacts.

4 It's important to consider strategies for
5 prioritizing equity in workforce development, including
6 local and targeted hiring to support disadvantaged
7 communities. Community benefit agreements should be
8 required as they can create sustainable economic
9 benefits and opportunities for underrepresented
10 communities and help mitigate impacts to local
11 communities.

12 Next slide, please.

13 Fishery groups commented that offshore wind
14 development should consider social and environmental
15 impacts from developing offshore wind industry,
16 including air pollution from port construction and loss
17 of access to fishing ground when measuring economic
18 benefits. They also commented that the report should
19 consider job impacts to fishing and related industries
20 including vessel operators, fishing gear manufacturers,
21 tourism, and bait shops. They also commented that the
22 report should have a plan to account for and mitigate
23 impacts to the fishing and related industries.

24 The Northern Chumash Travel Council commented
25 that offshore wind development should occur with marine

1 protections and conservation efforts, equitable
2 mitigation measures for any impacts and fair community
3 benefits agreements.

4 Local governments commented that the CEC
5 should work with local workforce planning entities, such
6 as the Humboldt County Workforce Development Board, to
7 understand local workforce impacts. They commented that
8 these investments by local entities could help to
9 minimize negative impacts from offshore wind, and guide
10 mitigation efforts and tailor proactive benefit measures
11 for local communities. The CEC received another comment
12 that the report should consider the economic benefits of
13 ports using non-fixed large floating docks, or sometimes
14 called at-sea assembly terminals, for installing
15 offshore wind resources nearshore.

16 To reiterate, this report is a preliminary
17 assessment of economic benefits that is required by AB
18 525. Many of these comments will be addressed in the
19 strategic plan.

20 Next slide, please.

21 That concludes the presentation. The Energy
22 Commission, or the CEC, recommends approval of the final
23 staff report, Preliminary Assessment of Economic
24 Benefits of Wffshore Wind Related to Seaport Investments
25 and Workforce Development. I'm happy to answer any

1 questions you have. Thank you.

2 CHAIR HOCHSCHILD: Thank you so much, Paul.
3 We'll turn now to public comment on Item 7.

4 MS. BADIE: Hello, this is Mona Badie, the
5 Public Advisor. The commission now welcomes public
6 comment on Item 7. If you are on Zoom, please do use
7 the raised-hand feature on your screen to notify us you
8 want to make a comment. And if you are joining us by
9 phone, please press star-nine to raise your hand.
10 Comments will be limited to two minutes or less per
11 speaker and one speaker per entity. Please wait for me
12 to call on you to make your comment.

13 Alright, we have a few raised hands here,
14 Varner Seaman, I'm going to open your line. Please
15 spell your name for the record, any affiliation and you
16 are welcome to make your comment.

17 MR. SEAMAN: Thank you. My name is Varner
18 Seaman, V as in Victor, A-R-N-E-R, last name Seaman, S-
19 E-A-M-A-N. I'm with American Clean Power California. I
20 work as the program director for the Offshore Wind
21 Program at ACP California.

22 I want to just take a moment to thank the
23 staff, to thank Paul and the rest of the team that have
24 been working on this important work as part of the AB
25 525 report. Both this component of AB 525 work as well

1 as the other components that are going to be completed
2 over the next few months for the final report that's
3 going to come out this summer. We also want to thank
4 the Commissioners for all of your ongoing efforts and
5 leadership on this important work for offshore wind.

6 What we appreciate in this preliminary study
7 on economic benefits is it recognizes that there are
8 significant economic benefits that offshore wind can
9 provide to the state of California. And we agree with
10 our partners in organized labor that there are
11 tremendous job benefits in providing highly skilled and
12 trained workers working in high quality jobs for folks
13 here in the state of California.

14 At the same time, offshore wind will lower
15 carbon emissions for the state electrical sector. It
16 provides an important resource that integrates well
17 within the system which lowers costs for consumers in
18 the state of California while increasing reliability.
19 We also appreciate that the report noted that the
20 economic benefits from offshore wind come from deploying
21 at scale, which I think is aligned with the leadership
22 that the CEC showed earlier in the AB 525 process last
23 year by adopting very strong targets for both 2030 and
24 2045, with a target of at least 25 gigawatts of offshore
25 wind by 2045.

1 So, we look forward to partnering with the CEC
2 Commissioners and staff as we go forward at ACP in this
3 important work. And we just want to again thank the
4 staff. We know that this is quite a big push, it's a
5 huge effort, but we really appreciate your
6 professionalism. The access that we've had to provide
7 input is appropriate and we really look forward to
8 partnering with you over the next few months. Thank you
9 all very much.

10 MS. BADIE: Thank you for your comment. We
11 also have Tom Hafer, I'm going to open your line.
12 Please state, spell your name for the record and any
13 affiliation and make your comment.

14 MR. HAFER: Can you hear me?

15 MS. BADIE: Yes.

16 MR. HAFER: Okay. I'm Tom Hafer, Tom H-A-F-E-
17 R. I'm the president of the Morro Bay Fishing
18 Organization in Morro Bay. In our opinion, the
19 construction of large facilities on the central coast
20 makes no environmental sense or economic sense. There
21 are minimum natural harbors protecting where they are
22 considering putting these large ports. There will
23 require mile-long huge jetties to protect them from huge
24 surf and surge that we have, especially on a south wind.

25 The jetties will also entrap sand that will

1 cause the need for millions of dollars of additional
2 dredging every year or even maybe twice a year. These
3 are being placed in the middle of tourist towns where
4 people travel for miles to get away from industrial
5 cities to quaint fishing villages as in Morrow Bay and
6 Port San Louis. They don't want to see concrete
7 platforms, giant cranes, and hear the clanking of steel
8 while they're eating their fish dinner along the
9 embarcaderos.

10 The port infrastructures have not been-- the
11 port infrastructure plans have not been transparent to
12 the public at all. I mean the only reason we even know
13 about this, the fishermen, is because of REACH. The
14 proposed-- and in all these ports are proposed in prime
15 fishing grounds, especially Diablo and China Harbor.
16 You know, possibly Morro Bay could have a small
17 operation. Maintenance vessels come in a couple of
18 them.

19 But you got to remember that Morro Bay has a
20 main rookery for sea otters. That's where they have
21 their babies. And it's also a humpback highway right
22 outside from point conception to Point Sur is a main
23 highway for humpbacks.

24 MS. BADIE: Thank you for your comment. Next,
25 we have Manley McNinch. Please unmute on your end and

1 spell your name for the record and make your comment.

2 MR. MCNINCH: Good afternoon, Manley McNinch
3 with the Southwest Mountain States Regional Council of
4 Carpenters. My last name is McNinch, M-C capital N-I-N-
5 C-H. And I'd just like to thank Mr. Deaver and everyone
6 else on the really good report on the need for upcoming
7 ports. Without the fortifying and building of new port
8 structures, it's going to make it really hard for the
9 offshore wind developers to pursue and meet the
10 requirements that are out there.

11 As we all know, ports are kind of scarce at
12 best going up and down the coast. So, it definitely
13 going to be a need to build varying ports type going up
14 and down. You know they provide varying services. Not
15 all-- just one big huge port, but I've seen a couple of
16 reports out there about the potential of putting smaller
17 reports pop-- excuse me, smaller ports up and down the
18 coast, which makes a lot of sense. That way we're not
19 coming in and just wiping out a place like Morro Bay.
20 So, it sounds like a good thing to do.

21 The need is there for everything that's being
22 discussed in the meeting today about offshore energy,
23 getting the structures in place, the carbon neutrality.
24 And as far as the jobs and a just transition of good
25 paying jobs goes is extremely important. And the

1 Southwest Carpenters Union's been working out and
2 reaching out, talking to some of the developers and some
3 future suppliers for the projects that are coming up.
4 And we're making a lot of good transition, transitional
5 type talks and everything of the potentials for the
6 upcoming partnering in this area.

7 We have a brand new state-of-the-art 30,000
8 square foot training center that'll be opening in Santa
9 Maria, which the developer is going to be able to
10 utilize to help train their workforce up and potentially
11 some of the suppliers as well. So, as we get closer to
12 that, hopefully we'll be able to you know, get more and
13 more support on board to get the ports going cause it's
14 critical. And I thank you for your time. Have a good
15 day.

16 MS. BADIE: Thank you for your comment. Next,
17 we have Claire Warshaw. Claire, I'm going to open your
18 line. Please spell your name and any affil-- your name
19 for the record and state any affiliation. You may begin
20 your comment.

21 MS. WARSHAW: Hi, my name is Claire Warshaw.
22 I'm a member of the public. My name is spelled C-L-A-I-
23 R-E and then W-A-R-S-H-A-W. And I am interested in
24 commenting on this item about offshore wind because as a
25 perspective, as a designer I had thought long ago, I'm

1 not sure how they could be designed, although you know
2 I'm not saying that it can't be designed. I absolutely
3 understand it can be. It's just that the cables are,
4 from what I understand, the shelf off of the California
5 coast is so deep those it are kind of offshore wind will
6 require cables.

7 And then I start to think about whales. And I
8 had thought about this a long time ago. Recently,
9 there's been a news story from the East Coast where a
10 bunch of whales have beached themselves. And one of the
11 big concerns was this, the offshore wind that caused
12 this. And so far from what I've read, it is not
13 according to what they have, what the whale autopsy
14 professionals have determined so far.

15 So, I think we can be glad if that is the case
16 and that it is something else. They've blamed shipping
17 which is kind of unusual, but in case they're covering
18 up or something like that, I do think we ought to be
19 concerned in California. It-- they've already invested
20 so much over there. I could see why they might cover
21 up. And energy people, you know, they're not that good
22 at telling us stuff sometimes.

23 So, I would say in terms of this item on the
24 agenda, employing biologists might be well worth
25 California's money. And also, it's a profession and

1 it's not considered a lot as equal as an engineer. But
2 there are ocean biologists and they could maybe do
3 something to help our whales not run into cables, make
4 some kind of whale freeway or something. You know, pay
5 attention to these large mammals. Also the algae and
6 things like that, that our ocean needs to be healthy.
7 And that is an economic boon too. So, I do think that
8 that could be considered as part of the offshore wind
9 economics. Thank you.

10 MS. BADIE: Thank you for your comment. Those
11 are all the public comments that we have. Back to you,
12 Chair.

13 CHAIR HOCHSCHILD: Well, thank you so much for
14 all the members of the public for sharing those comments
15 and to the whole team that worked on this. Paul, you
16 and your colleagues, and in particular Elizabeth Huber
17 for all the diligence, really happy to see this moving
18 forward. And just to reiterate, you know, this is yet
19 another example of where our climate and our industrial
20 policy are inextricably intertwined.

21 And so, this is you know, one of the key
22 pillars of our energy and our economic strategy over the
23 next 20 years as we push forward to build out offshore
24 wind and make it a reality in California. And
25 absolutely committed to robust, sustained public

1 engagement throughout the whole process to get the
2 benefits of everyone's input, and do that in the most
3 environmentally and community sensitive manner that we
4 can.

5 So, with that, let me just open it up to other
6 Commissioner comments. Anyone wishing to chime in? If
7 not I would ask -- let's see, Vice Chair Gunda, would
8 you be willing to move the item?

9 VICE CHAIR GUNDA: Yeah, move item.

10 CHAIR HOCHSCHILD: Okay. Is there a second?
11 Commissioner Gallardo, would you be willing to second
12 that?

13 COMMISSIONER GALLARDO: I second Item 7.

14 CHAIR HOCHSCHILD: Okay. All in favor say
15 aye. Vice chair Gunda?

16 VICE CHAIR GUNDA: Aye.

17 COMMISSIONER MONAHAN: Commissioner Gallardo?

18 COMMISSIONER GALLARDO: Aye.

19 COMMISSIONER MONAHAN: Commissioner
20 McAllister?

21 COMMISSIONER MCALLISTER: Aye.

22 COMMISSIONER MONAHAN: And Commissioner
23 Monahan?

24 COMMISSIONER MONAHAN: Aye.

25 COMMISSIONER MONAHAN: And I vote aye as well.

1 Item 7 passes unanimously. We'll turn on to Item 8,
2 Clean Energy Reliability Investment Plan.

3 MR. ERNE: Good afternoon, Commissioners. I'm
4 going to be covering two items that are required for the
5 CEC from SB 846 to bring to you for adoption prior to
6 them going to the legislature. The first one is the
7 Clean Energy Reliability Investment Plan.

8 Next slide.

9 The plan is to be developed by the CEC for
10 addressing some critical issues that the state needs
11 around clean energy. Accelerating deployment of clean
12 energy resources and reducing greenhouse gas emissions
13 are critical to that, but also supporting reliability,
14 as well as supporting demand response and the loading
15 order are the requirements for the Clean Energy Plan to
16 address.

17 The plan is intended to identify initiatives
18 for up to \$1 billion in resources that would be
19 appropriated by the legislature. So, they have not been
20 appropriated yet. They would be appropriated over three
21 years. The first year being this year would be a
22 hundred million and then the subsequent two years would
23 be 400 million and 500 million for the legislature to
24 appropriate.

25 Next slide.

1 As I mentioned earlier in the IEPRR overview,
2 but I'll recap here as well, we've identified three
3 critical challenges that we think are important to take
4 into mind as we are identifying initiatives for this
5 clean energy plan. The first is planning. So, as I
6 mentioned before, we have a critical need in the state
7 to improve our planning processes. I mentioned
8 previously transmission planning, engaging with
9 communities was identified in the equity portion of the
10 IEPR to ensure that we are bringing in the needs of
11 communities, particularly those in justice communities
12 that are often left behind in the clean energy
13 transition, to ensure that they're brought into this
14 process and they're available-- their information is
15 available to us to make sure that we're planning
16 appropriately.

17 For resource scale, we have the need to
18 diversify resources both in the supply side and the
19 demand side, but primarily on the demand side it's
20 critical for us to expand those resources to ensure that
21 we're putting resources close to the load and addressing
22 the needs of customers.

23 And lastly, extreme events. We continue to
24 have more frequent extreme events and longer extreme
25 events, and I'll talk about that a bit more in the

1 Diablo session next. And having resources available to
2 augment the existing resources to ensure that we can
3 ride through those extreme events.

4 Next slide.

5 So, we have identified four different funding
6 priority buckets if you will, and mapped those to the
7 reliability challenges. The first one is planning and
8 enabling structure. So, this is addressing those
9 planning items that I talked about previously, but also
10 the items that are more in the administrative side of
11 things that tee up solutions that are in the scaling
12 resource area.

13 Those would include transmission planning and
14 community engagement, which I mentioned. But also, and
15 I'll talk about it in a little bit, the need to scale up
16 large resources. So, there's certain large resources
17 like we heard offshore wind, geothermal, that are very
18 large investments, hard for individual load serving
19 entities to be able to finance, and having a central
20 procurement function in the state to be able to do that
21 would be helpful in teeing up those resources even ahead
22 of them being called for in CPUC procurement orders.

23 And also, as I mentioned previously,
24 interconnection and permitting continue to be a problem
25 with getting the scale that we need of new resources

1 online. One of the challenges with getting these
2 resources is the delay that happens for the
3 interconnection process and permitting process. Those
4 are the planning elements being incorporated into the
5 first bucket.

6 The second bucket, as I mentioned, is demand
7 side resources. So, these resources are those that are
8 going to be supporting our customers most closely.
9 Demand flexibility is something we know that we need to
10 expand within the state, and having initiatives that
11 continue to expand demand flex and look for new
12 alternatives to improve our demand flexibility. And
13 I'll talk a little bit about vehicle-grid integration
14 and vehicle to building as another new way as we build
15 that out to be able to provide demand flexibility. So,
16 we feel there is a desire to have more demand
17 flexibility and more solutions within that toolbox of
18 demand flexibility like vehicle-grid integration.

19 And we do expand upon the types of distributed
20 generation that we have. Primarily now it's solar and
21 storage, having things like linear generators, fuel
22 cells, other types of technologies to get a greater
23 diversity in our portfolio.

24 And lastly, we think there are opportunities
25 to have innovation grants. These grants would be to

1 fund new ideas that we haven't thought about before that
2 may not fit into traditional existing programs that are
3 available currently at the CEC or CPUC or other
4 entities. So new structure to the way that we can do
5 things.

6 We have similar buckets for the-- or similar
7 initiatives in the scaling of supply side resources,
8 scaling those large technologies including expanding
9 long duration storage. So, building on the success of
10 the long duration storage program that CEC currently has
11 and doing more of that. Those are particularly valuable
12 during the net peak period. And innovation grants in
13 this area as well.

14 And lastly, augmenting for extreme events.
15 The strategic reliability reserve was established last
16 year, heard about it during several of the topics this
17 morning. The Demand Side Grid Support Program and the
18 Distributed Electricity Backup Assets Program, both run
19 by CEC, would benefit from additional resources to help
20 build those out to provide those resources during
21 extreme events. As you can see in this slide, we map
22 those funding priorities to the types of challenges,
23 reliability challenges we've identified, and how they
24 can support those areas.

25 Next slide.

1 The plan lays out funding areas for each of
2 these main categories. As you can see, we have
3 frontloaded on planning and enabling structures to get
4 the system set up, get 'em in place, get them running,
5 and then that element is funded less or proposed to be
6 funded less in the subsequent two years. We have a
7 substantial amount of scaling of demand and supply side
8 resources. Those ramp up primarily in the second and
9 third year where the allocations would be 400 million
10 and 500 million from the legislature. So, funding more
11 of those higher cost projects in those second two years.

12 Of those two, we've applied more funding
13 towards the demand side than the supply side, as we feel
14 there's a lot that can be gained from the demand side
15 resources. As I mentioned then, extreme event support,
16 we'd continue to have that over the subsequent three
17 years of the program leading to a total of the 1 billion
18 identified in SB 846.

19 Next slide.

20 This slide shows the detail breakout for the
21 first year. This is consistent with the governor's
22 proposed budget from earlier this year. We would lay
23 out discrete projects to support transmission planning.
24 As I mentioned, community engagement, which is critical
25 to get feedback from community-based organizations.

1 Supporting the standup of the central procurement
2 function, this funding would go to DWR to stand up that
3 function as an alternative for the state. And then
4 support for smoothing out or increasing the ability to
5 do more permitting and interconnection.

6 No funding proposed in the first year for
7 scaling of supplier demand side, and then 33 million
8 supporting extreme event, with 10 million for
9 administration from the CEC. That provides the 100
10 million of the first year proposed in the governor's
11 budget.

12 Next slide.

13 With that, I put forward this plan for your --
14 and the proposed resolution to adopt the plan so that it
15 can be submitted to the legislature for consideration
16 for the appropriations for the 1 billion. I'm open for
17 any questions you may have.

18 CHAIR HOCHSCHILD: Thank you so much, David.
19 That was terrific. We'll go to public comment on Item
20 8.

21 MS. BADIE: Thank you chair. This is Mona
22 Badie, the Public Advisor. The Commission now welcomes
23 public comment on Item 8. If you are on Zoom, please
24 click the raise-hand feature on your screen to notify us
25 that you want to make a comment on this item. And if

1 you're joining us by phone, please press star-nine to
2 raise your hand. Comments will be limited to two
3 minutes or less per -- or two, excuse me, two minutes
4 per speaker, and one speaker per entity. And I will
5 call on those who have raised their hands.

6 We have one raised hand at this time. Call-in
7 user one. I will open your line. Please spell your
8 name for the record and make your comment.

9 MR. UHLER: Hello Commissioners, this is Steve
10 Uhler, U-H-L-E-R. I heard about interconnects. I take
11 it that means hooking distributed resources up. And
12 there's been a lot of hold up on that I understand,
13 particularly in solar. There was a report back in '13
14 about assumptions that were made about solar.

15 And here I go with my power factor thing
16 again. I truly believe that your not understanding
17 power factor is causing a problem. There's a tool
18 called SPICE, been around for ages. I think it's out of
19 Stanford University. That's what made Silicon Valley.

20 You can't breadboard a little tiny IC, so this
21 device mimics that. It could easily be used on the
22 scale of the grid. The grid is actually quite simple
23 compared to something like a 6502 processor, or an 8088,
24 or any of those processors. It can actually tell you
25 what the ramifications would be. And since it's only 60

1 hertz compared to gigahertz on processors today, you
2 could really dial that in. You should look into SPICE.
3 It can be tailored probably to just about anything. You
4 got Stanford University folks who probably could help
5 out. You should look into that. Thank you.

6 MS. BADIE: Thank you for your comment. That
7 is the only raised hand we have. Back to you chair.

8 CHAIR HOCHSCHILD: Thank you. Let's go to
9 Commissioner discussion, starting with Vice Chair Gunda.

10 VICE CHAIR GUNDA: Yeah thank you, Chair.
11 Just want to say thank you, David, so much for that
12 clear and thorough presentation. I just want to frame
13 this for the Commissioners and the public, you know the
14 setup for this investment was a unique opportunity to
15 propose funding for areas that we've identified as the
16 opportunities to either support deploying resources, or
17 reduce barriers to resources being brought online
18 quickly, as David mentioned.

19 So just to kind of make sure that we highlight
20 this, you know a few principles in developing the plan
21 are to support reliability, support the clean energy,
22 transition, support affordability, and for support and
23 complement existing programs while not duplicating them.
24 So that would be important as we continue to move
25 forward with the deployment. So, the first step of this

1 was to really help frame broadly the barriers, the
2 challenges, and how we should invest. And David did an
3 excellent job on explaining the thought process behind
4 that.

5 But as we move forward with the legislature
6 and as we present to the legislature, depending on their
7 support and making sure that money is appropriated, as
8 we begin to implement this we really need to figure out
9 guidelines for specific buckets, and how do we then
10 support affordability but also support and complementing
11 existing programs will become next step. So, look
12 forward to engaging with CEC and how best to do that.

13 Also want to commend the plan, you know,
14 specific emphasis on demand side resources. The state
15 has really put in some huge budget items in the last
16 year on the transportation side as well as building
17 decarbonization side. And we think that the demand side
18 funding would help both complement you know the broader
19 electrification pathways but also really help improve
20 resiliency in communities you know which are really
21 vulnerable. So, I think that's another important
22 element that we'll be working through.

23 Another point, we've mentioned this that
24 during the last public meeting, the next part of the 846
25 is to develop a load flex goal. And it's really

1 important for us to figure out how the load flex goal,
2 the CERIP money, the DSGS money, the DEBA money all
3 complemented together and ensure that existing programs
4 are really leveraged.

5 And want to close with big thanks to the CEC
6 team. David Earn has been nothing short of
7 extraordinary this last 18 months on jumping in with so
8 many pieces. I mean it's like almost-- we don't have a
9 spare tire. It's like David is the wheel, and the tire,
10 and everything. And the importance of the extraordinary
11 amount of work he does not just the time, but this takes
12 a lot of thoughtfulness and making sure you conduct
13 yourself well with other agencies, and not implode under
14 the pressure of time and the asks from everybody. So,
15 David, you've been doing an extraordinary job.

16 And he is definitely complimented by Damian on
17 our administrative side, Kristen Widdifield who recently
18 joined on supporting the coordination of reliability
19 activities. Liz and Ben and Eric from our office, and
20 also colleagues from PUC.

21 This has been a collective work and being
22 shepherded at so many different levels. President
23 Reynolds and her office Luom, Grant Mack from PUC, CARB,
24 you know Chair Randolph and her team, and also partners
25 at DOF and GO that all advise on how to move forward in

1 a way that's really constructive. So just again, David,
2 a big kudos to you.

3 And in closing I do want to note a thanks and
4 appreciation for Chair. Chair is behind the scenes
5 reliability. Oftentimes I get to present them, but
6 without diligence and his support on how best to spend
7 this time-- spend this you know, both our time and
8 money. And also his team in terms of Kat who comes from
9 legislature, her insights into you know what the
10 legislature was hoping to achieve from all this last
11 year.

12 And I think we have a fabulous team in house.
13 And Drew and the executive office, the CCO, the Public
14 Advisor's office, this is a collective effort. Also
15 want to call out RETI and siting and their directors for
16 their enormous contribution to this work. So overall
17 wonderful work David, look forward to supporting it and
18 continuing the conversation and making sure we do a good
19 job for the state of California. So, thank you.

20 CHAIR HOCHSCHILD: Well said, Vice Chair. And
21 I would just like to add my thunderous endorsement to
22 those comments. And David Erne, in particular for you.
23 I just have really appreciated your steady hand at the
24 wheel, and your professionalism in some very, very
25 challenging moments we've had over the last few years

1 with reliability. You know, your professionalism has
2 really shown through. And I want to just recognize that
3 publicly.

4 And all the colleagues that you mentioned.
5 You know, when the going gets tough, the tough get
6 going. I feel great about the group that we have on
7 this. So just a really thunderous endorsement.

8 Unless there are other comments? Oh,
9 commissioner Monahan. Yes, please.

10 COMMISSIONER MONAHAN: Yes. Well first I just
11 want to say that I thought vice Chair Gunda never slept
12 because he was working all the time. And now I worry
13 about David, because he's producing an amazing amount of
14 work for us. So just thank you, David, for all you're
15 doing to help keep the lights on in California.

16 And I have just one question. Well maybe two
17 questions. One question was just around the 15 million
18 for addressing barriers including permitting and
19 interconnection delays. Could you just flesh that out a
20 little bit for me about what that might consist of?

21 MR. ERNE: Sure. So, primarily there are a
22 couple different areas where we have delays; both from
23 some of the state agencies and also from local counties.
24 So, the feeling is that we could possibly provide grants
25 or for states to interstate or interagency transfer to

1 help support bringing on more people, either individuals
2 or consultants, to help with that permitting backlog.
3 Because right now we have so many projects that are
4 waiting to be reviewed. It's really has become a
5 manpower issue, or a person power issue, to get all of
6 these resources through the process. And so, ways to be
7 able to do that more efficiently is what we'd be looking
8 for.

9 COMMISSIONER MONAHAN: So, is it possible,
10 David, I mean in terms of the adjustments to the
11 investment plan, could you, in years two and three, have
12 adjustments based on lessons learned from year one
13 investments? Like could it be that, oh we did this and
14 we actually found it really did speed permitting. So,
15 if we gave local agencies more money to hire more staff
16 or to contract out, that could really speed the
17 process?

18 MR. ERNE: Yeah, we are looking for some
19 flexibility in terms of the opportunity working with the
20 legislature on how we can reallocate. We certainly feel
21 that there would be value in having that flexibility
22 among different pots of money so that we could make that
23 advantageous. But it'll depend upon that conversation
24 with the legislature.

25 COMMISSIONER MONAHAN: I see. So, will an

1 investment plan have to be done every year? Will it be
2 revised? Or is this sort of fixed unless the
3 legislature makes changes?

4 MR. ERNE: The request was for the original
5 plan, and so we'll work with the legislature in, you
6 know, laying it out in this way and then building out
7 the individual elements.

8 COMMISSIONER MONAHAN: Okay, thank you.

9 CHAIR HOCHSCHILD: Any other? Oh yeah,
10 Commissioner Gallardo please.

11 COMMISSIONER GALLARDO: I think Commissioner
12 McAllister had his hand up first, so I'm going to defer
13 to him and then I'll go after him. Go ahead.

14 COMMISSIONER MCALLISTER: No, go ahead. Go
15 ahead. Absolutely, go ahead.

16 COMMISSIONER GALLARDO: All right, well then,
17 I'll keep it quick. I wanted to highlight, and I don't
18 think anyone will be surprised by this, the monies being
19 put toward the community engagement piece. I think
20 that's so tremendously important, and I'm glad that, you
21 know, that's there. You know, we're acting, not just
22 talking about the importance of equity and EJ and here's
23 an example.

24 And David, I also want to acknowledge you for
25 the great work you do. And every time I talk to you, I

1 feel like I learn something, and I've told you this. I
2 wanted to highlight it here.

3 And so curious to learn a little bit more if
4 you know, is there a plan on how that community
5 engagement money will be allocated? Like, you know, to
6 what types of components? Or is that something that
7 will be -- that you'll plan later on? I'm just curious
8 about where you're at in that phase.

9 MR. ERNE: Yeah, so we want to -- we haven't
10 put a fine point on exactly where the grants would be
11 going, but we know there are a number of initiatives
12 that CEC is working on that involve or would benefit
13 from engagement with community-based organizations.

14 We want to make sure that we organize it in a
15 way that we can have that engagement with them that
16 makes it the most efficient for them, you know obviously
17 with the reimbursement, but we have the building decarb
18 program, we have SB 100, we have a number of these
19 activities that are going on where we're going to engage
20 them and we want to try to do it in a thoughtful way.

21 And Commissioner, or excuse me, Vice Chair Gunda, did
22 you want to make any comment on that?

23 VICE CHAIR GUNDA: No, I think David you
24 mentioned it really well and I think the only point to
25 elevate their-- so Commissioner Gallardo, I think that

1 one of the things we are hoping, and hopefully you're
2 tracking this. As a part of 846, there was a I think
3 205, there was a \$30 million for community development
4 at CPUC, right? So, this would be incremental to that.

5 And you know, while the CPUC broader scope
6 will be to support all state work, and we could have
7 some input, we are looking for this to-- you know, we've
8 had some stakeholder feedback. And again, once the
9 money gets appropriated, we'll have some sort of a
10 process on how best to deploy this money as David's
11 mentioning. But some emerging thoughts are potentially
12 having regional support on even stitching together all
13 the pockets of money that we are putting out there
14 towards community-based reliability and resiliency,
15 right? So that's one piece that's kind of emerging.

16 And the other element that's emerging
17 specifically in this area is to figure out how best to
18 scale existing monies, right? So, if we have monies
19 from CPUC, how do we intersect with this money and help
20 move things forward? So, we are in active discussions
21 on that and look forward, you know, obviously to your
22 engagement and your guidance as we move forward with the
23 plan.

24 COMMISSIONER GALLARDO: Thank you, David.

25 Thank you Vice Chair Gunda. I would be happy to

1 participate in those conversations. And you know, this
2 just, again, is reflecting what we've heard from
3 communities about their needs for compensation when
4 engaging, and to, you know, be doing it in this way just
5 makes me really excited. So, thank you. And I'll turn
6 it back to the Chair. Commissioner McAllister?

7 COMMISSIONER MCALLISTER: Yeah. Great. Well
8 thanks. And so, I want to just continue on a pace on
9 that theme. I mean lots of diverse resources. I mean I
10 think this is the future that we're going into is that
11 we have many more and different resources, and we have
12 to learn how to stitch the pieces together in a quilt
13 that actually, you know, fits the bed.

14 And so, the demand side, you know, really
15 obviously happy to see the emphasis on demand side. And
16 that is a new, I think, very exciting resource that we
17 are going to be looking to grow. As you all know, it's
18 going to take a few years to really get it ramped up and
19 there are lots of different components of that.

20 And so, I wanted to just-- I was going to ask
21 along the lines of that community engagement. Cause I
22 think particularly on demand side issues and where we're
23 focused on reliability, that sort of bottom up
24 reliability that you know elevates through the
25 distribution grid up into the bulk power system, that

1 community engagement and that sort of nuance across our
2 big diverse state is going to be particularly critical.

3 And so just really excited to actually be
4 investing in that. And encourage as you said, David,
5 encourage the building of bridges across our various
6 initiatives with state funding, with federal funding,
7 where we're going to be investing in communities, and
8 really building local CBO capacity and leveraging those
9 local skills that this overlay can sort of really work
10 seamlessly with that. So really there's so many-- you
11 know this is a multi-cylinder engine and it seems to be,
12 I guess that's a passe metaphor, but it's all firing on
13 all cylinders at the moment.

14 And then finally, I just want to again
15 highlight you know, you, David, for all your efforts.
16 And just note that David is coming to us from the
17 Pacific Northwest where he is at the Weed Fire
18 Resilience meeting. So, thanks for holding down the
19 board on that topic as well. So, thanks a lot David,
20 for your presence of mind and your sort of maturity in
21 guiding a lot of these initiatives.

22 CHAIR HOCHSCHILD: Great, well thank you
23 everybody. I'd welcome a motion on Item 8 from the Vice
24 Chair

25 VICE CHAIR GUNDA: Move Item 8.

1 CHAIR HOCHSCHILD: Commissioner McAllister,
2 would you be willing to second?

3 COMMISSIONER MCALLISTER: Second, Item 8?

4 CHAIR HOCHSCHILD: All in favor say aye. Vice
5 Chair Gunda?

6 VICE CHAIR GUNDA: Aye.

7 CHAIR HOCHSCHILD: Commissioner McAllister?

8 COMMISSIONER MCALLISTER: Aye

9 CHAIR HOCHSCHILD: Commissioner Gallardo?

10 COMMISSIONER GALLARDO: Aye.

11 CHAIR HOCHSCHILD: Commissioner Monahan?

12 COMMISSIONER MONAHAN: Aye.

13 CHAIR HOCHSCHILD: And I vote aye as well.

14 Item 8 passes unanimously will turn now to Item 9,
15 Diablo Canyon power plant extension analysis of need to
16 support reliability.

17 MR. ERNE: Thank you very much, Chair. And I
18 do want to say thank you for the compliments in the last
19 session. But actually it is made much easier from such
20 great leadership from all of you. So, thank you very
21 much for all of that to make these processes easier and
22 to work on particularly something like the Diablo Canyon
23 Power Plant, which I'll be talking about next. This is
24 our next SB 846 requirement, which is to develop an
25 analysis of Diablo Canyon power plant extension and

1 whether it is needed to support reliability.

2 Next slide.

3 We actually have two requirements in SB 846
4 relative to Diablo Canyon. This is the first one. It
5 is to look at supply and demand between 2024 and 2030 to
6 look for potential reliability deficiencies if Diablo
7 Canyon is not extended, and to make a determination of
8 whether it should be extended to ensure reliability,
9 it's prudent to ensure reliability. This is our first
10 one.

11 Our second one is going to be another analysis
12 that we'll be conducting between now and the end of
13 September, actually probably the end of August because
14 we want to try to get it to CPUC for their process. But
15 in that one, we are to compare the cost of extending the
16 Diablo Canyon plant versus an alternative portfolio of
17 resources. So that's the next step in our process of
18 looking at the Diablo Canyon situation.

19 And then as I mentioned, CPUC has a proceeding
20 going on relative to Diablo Canyon and they'll be making
21 a decision by the end of this year how long to extend
22 Diablo Canyon. So, this is one in multiple steps that
23 the state is going through in this process of looking at
24 Diablo Canyon.

25 So, I'll be going through the analysis we did

1 for reliability. This is based on the same reliability
2 and analysis that we did and provided to the legislature
3 earlier this month, which was also part of SB 846, but
4 also AB 205, to look at reliability between now and
5 2032. So, you'll see some numbers from graphs in here
6 that I've got to 2032 instead of 2030 because we use
7 that same analysis for our discussion here. And so, all
8 of this is coming together for us to make this
9 conclusion.

10 So, we'll go to the next slide.

11 Let me first talk about demand and where we
12 are with demand in the state. So, as you can see, each
13 vintage of our demand forecast is showing that demand is
14 going up and up every single year. And that frankly,
15 this is going up more fast every time we do our analysis
16 and it is generally being driven by electrification.
17 So, demand is going up primarily from these activities
18 that we're looking at for improving or reducing our
19 greenhouse gas emissions. In addition, we are seeing
20 changes in the way that we're envisioning or of the way
21 we see demand due to climate change.

22 So next slide.

23 Climate change is causing greater weather
24 variability. So, we've seen last year with our extreme
25 heat where we saw records broken across the state, as

1 well as in 2020 when we saw the rolling outages. We've
2 seen more and more of these heat events happen and we've
3 all experienced that. We've all felt it. Typically,
4 when we look at weather variability in our planning
5 processes, we've looked at averaging out that weather,
6 those weather conditions over a 30-year time horizon.

7 But we're all knowing that from our own
8 experiences that what happened 30 years ago is not the
9 kind of weather patterns that we're seeing today. And
10 if we take a look at truncating that average to the last
11 20 years is illustrative of showing you even more about
12 what the impact of that weather variability has been
13 recently. What has happened when we do that, is we
14 don't see too much of a change from year to year on the
15 normal peaks. Slightly increasing over time, but our
16 normal peaks are not the outlier.

17 What's happening is we're getting more extreme
18 peaks, and those peaks are hotter than we've seen in the
19 past, and the heat events are lasting longer. So
20 greater heat, greater extreme heat events and longer
21 heat events. Which of course is a substantial issue for
22 our grid reliability because we don't plan for those
23 really, really-- we don't buy for those really extreme
24 events, we buy for average peaks.

25 If we look at last September, September 6th

1 when we had all those records broken around the state,
2 and we looked at that based on a 30-year weather
3 history, that would be a one in 27 year event. If we
4 look at it from a 20-year perspective, that's only a in
5 14. So, you can see how this climate change is
6 affecting our weather variability, which is affecting
7 our demand. So not only is the demand going up on
8 average, but also, we're seeing peaks that are happening
9 that are higher from these extremes and they're
10 operating longer. So that's our demand situation. Let
11 me take a look at the supply situation.

12 Next slide.

13 So, I'm going to go through a series of
14 charts. This can be a little bit of an iChart to go
15 through some of this and I'm going to walk through it
16 individually because they're a little bit complicated
17 graphs. So, I'll walk through one slowly and then I'll
18 put out the other ones. But I'm going to show you what
19 our resource builds need to be to meet our current
20 procurement orders from the CPUC and their preferred
21 system plan.

22 So, if you advance one more.

23 So, we'll take a look at solar first, and that
24 first one shows you-- the red shows you what CPUC's
25 current procurement order is, which is out to 2028.

1 This is the amount that needs to be built out to meet
2 our resource adequacy requirements.

3 Next-- advance it one more.

4 This is their preferred system plan which goes
5 out much further and is higher overall. So, we compared
6 this, the need that's been identified for P-- by PUC, to
7 what would be an average solar build rate in the CalISO
8 territory. And we looked back to 2011.

9 And if we advance one more.

10 This shows you what an average solar build
11 rate would look like. Under the average solar build
12 rate, we would not be able to meet the CPUC procurement
13 order, much less the preferred system plan. We also
14 then looked at what if we took the maximum. So, if we
15 had a sustained maximum build, what would that look
16 like?

17 So, if we advance once more.

18 This blue line shows you if we had maximum
19 build out of solar, the max that we've seen since 2011
20 and continued that forward, we would just be meeting
21 essentially the need under the procurement orders up to
22 about 2027-- or 2025, and then we would start exceeding
23 it. But we would not meet 2020-- we would not meet the
24 PSP until about 2026, right? So that's the maximum
25 solar that we've seen since 2011.

1 Now let's-- I'll do-- advance one more and
2 I'll show you the rest of the resources and I'll talk
3 through those quickly.

4 But the most important of those is battery.
5 So, we're relying on batteries more and more, and they
6 provided much more value than we could ever imagine.
7 And we've seen that over the last few years during these
8 extreme net peaks where the batteries have kicked in
9 during the net peak and provided some substantial value
10 during those periods. And we have more of those that
11 were being put online and ordered but from the CPUC
12 procurement. And you can see that with an average build
13 rate for batteries that we've seen over the past, we
14 would never even get close to what we need to for the
15 CPUC procurement of the preferred system plan.

16 And if we look at the maximum, we still don't
17 get close to the procurement order until almost 2027.
18 So, we have a substantial issue with the need to have
19 unprecedented build. So, we've had unprecedented so
20 far, we need to exceed that and have even more
21 unprecedented build moving forward in order to meet
22 what's being called for by the CPUC's procurement orders
23 and their preferred system plan.

24 Less of an issue with geothermal and wind.
25 But you can see those are much lower in terms of the--

1 look at the Y-axis, much smaller scale and really the
2 solar and storage is what we're relying on and those are
3 the ones that are critical. And as I mentioned before,
4 what are some of the challenges we see with that build?
5 Not just getting them online and excuse me, not just
6 getting the equipment from the supply chain but also the
7 interconnection and permitting to get those online very
8 quickly. And we've seen unprecedented build so far in
9 the last few years, we're going to need even more. So
10 that's our supply overview.

11 Let me take you now to the next slide, which
12 looks at a combination of that supply and demand.

13 So, this is utilizing our modified stack
14 analysis to look at what the conditions look like if we
15 compare supply and demand between now and 2030, and
16 whether we would have a surplus or a deficiency of
17 resources over that time period. To do this analysis,
18 we actually did multiple scenarios. We looked at
19 different levels of delay in getting projects online:
20 no delay whatsoever, a 20 percent delay year over year,
21 and a 40 percent delay year over year. So, seeing some
22 different implications of not meeting the needs.

23 And then we also looked at an extreme
24 situation. What if we had an extreme event like the
25 wildfire that affected-- the Bootleg wildfire in

1 southern Oregon that made us lose 4,000 megawatts of
2 import capacity? What would happen for our reliability
3 situation if we had one of those kinds of extreme
4 events?

5 So, this first one shows you, with no
6 projected delay between now and 2030, the resources that
7 CPUC have has required will make us meet our reliability
8 planning standard with what we have online, assuming
9 that all of that is built. By the way, this does not
10 include the 4,000 megawatts that was just authorized by
11 the PUC a few weeks ago.

12 Now if we look at-- advance once more.

13 That was no delay. Next one is 20 percent
14 delay. Not much change, still looking good. 40 percent
15 delay, we can advance once more, still all looking good.
16 Now if we look at one of those extreme situations where
17 we add a wildfire implication, that's the next one. You
18 can see only at that point do we get to a point of a
19 shortfall between now and 2030 with-- if you could
20 advance once more-- with the retirement of Diablo
21 Canyon.

22 So, this takes into account Diablo Canyon
23 retiring. And our reliability, assuming we can build
24 out all those resources, we would be fine under our
25 planning standard, but we would be at a shortfall if we

1 had something like a wildfire affecting our transmission
2 lines.

3 We also did an analysis for comparing this to
4 an event like the 2020 event where we had outages, which
5 is the next slide. In this case, now you see there are
6 situations where we have more shortfalls. So other than
7 2024, maybe 2025 and 2028, we have shortfalls in each
8 year with Diablo Canyon retiring and meeting our
9 reliability needs if we have an extreme event like we
10 had in 2020.

11 We also looked at last year, which is even a
12 worse situation. And that's the next slide. Which of
13 course now you can see under no situation would we be
14 able to meet our grid needs if Diablo Canyon was
15 retired. We do have the strategic reliability reserve
16 which does provide resources in these events. Those
17 resources would not be enough to cover a situation, for
18 example, when we have a coincident event with a
19 wildfire.

20 Next slide.

21 So, the overall conclusion we have is we can
22 meet our planning standards between now and 2030 with
23 the retirement of Diablo Canyon, assuming that we can
24 build those resources in time and have them available as
25 we need them year over year. However, uncertainties

1 exist. Those uncertainties are we need an unprecedented
2 build rate, particularly of storage, between now and
3 2030 in order to be able to meet those needs that we
4 have identified just for our planning standards, not
5 even including emergencies.

6 But we also have climate change causing
7 greater weather variability, more extremes, more like
8 2020s, more like 2022, more wildfire related issues. So
9 as a result, we feel that there are substantial risks to
10 reliability with those conditions in place and that
11 having Diablo Canyon online between now and 2030 would
12 make sense, would be prudent to have as an additional
13 resource given that we are concerned that those
14 resources could come online as rapidly as are needed.

15 Next slide.

16 Also, if we look at Diablo Canyon and keeping
17 Diablo Canyon online, it is a low carbon resource. If
18 it were not online, we'd be relying more on fossil
19 resources, meaning more emissions that we would have if
20 we had that-- if we were taking it offline. So, it also
21 provides a carbon benefit between now and 2030 by having
22 it online.

23 Next slide.

24 So, in conclusion, we're requesting that you
25 approve the proposed resolution adopting the report and

1 the report's determination that it's prudent to pursue
2 the extension of Diablo, of the operation of Diablo
3 Canyon Power Plant. With that, I'll conclude my
4 comments and open up to questions.

5 CHAIR HOCHSCHILD: Thanks so much, David.
6 We'll go to public comment on Item 9.

7 MS. BADIE: Thank you. This is Mona Badie,
8 the Public Advisor. The Commission now welcomes public
9 comment on Item 9. If you are on zoom, please use the
10 raise-hand feature by clicking on the open palm to
11 notify us you want to make a comment. And if you're
12 joining by phone, please press star-nine to raise your
13 hand. Comments will be limited to two minutes per
14 speaker and one speaker per entity.

15 And now going to our raised hands, we have one
16 raised hand, call-in user one. I will open your line.
17 Please spell your name for the record and state any
18 affiliation. You may make your comment.

19 MR. UHLER: Hello Commissioners, it's Steve
20 Uhler. The slideshow you just watched has-- I only have
21 11 slides, so somebody put the wrong presentation in the
22 docket. Let's look at Diablo Canyon. It's a couple of--
23 - slightly more than one gigawatt power plant, two of
24 them. And it has a power factor. Here comes power
25 factor again, very important. It's 0.9.

1 Now EIA doesn't tell me if it's leading or
2 lagging, which os-- can be critical. And its plant code
3 is 6099. So, it has me wondering, you know, I guess if
4 you can't put solar on the roofs of the houses and stuff
5 because you can't do interconnects and do all these
6 solar interconnects, there's probably plenty of space
7 for Diablo.

8 And if you have Diablo, there's probably not
9 very much market for that solar because you know, in the
10 duck chart it would be nice if you were to color
11 diablo's output so that you could see it's basically a
12 two-gigawatt plant. Can't flex, no flexibility. Duck
13 chart required flexibility. So that's a bit of a
14 problem in looking at this.

15 And then also, let's see, what else do I got
16 here for you? Wow, I'm looking at the time. I'm wa--
17 and you know, Chair, I really have to ask why you found
18 necessity to limit my comment here to two minutes? And
19 how you're going to comply with 11125.7 for the rest of
20 the agenda items. But you can tell us about that in the
21 next item.

22 I'm really disappointed. There is-- shoot,
23 we've got-- it's one o'clock, you got two and a half
24 hours left over, and you didn't allow us to talk very
25 long. You didn't allow me to defend my petition. But

1 hey, the government's already technic-- government co--

2 MS. RAITT: Thank you for your comment. That
3 is our only raised hands. Back to you, Chair.

4 CHAIR HOCHSCHILD: Okay, thanks. And I
5 appreciate, again, all the hard work on putting that
6 together. Let's go to Commissioner discussion starting
7 with Vice Chair Gunda.

8 VICE CHAIR GUNDA: Thank you, Chair, and thank
9 you, David, for the presentation. I have a few things
10 that I just wanted to elevate as a part of this. You
11 know, Diablo extension or the proposition to extend
12 Diablo last year. You know, met with kind of a mixed
13 response from a variety of stakeholders on a variety of
14 issues that I want to elevate. Three specific elements
15 that came out of the discussion, and you know, the CEC's
16 specific role and how this recommendation fits that
17 role.

18 So, 30,000-foot level, I think you know we've
19 gotten at least three broad areas of kind of
20 conversation last year, which is: one, you know, what
21 does that mean to let go of resources during this
22 extraordinary time where we don't really know how our
23 resource planning and the resources that we have, not
24 just in California but in the west has the ability to
25 help with these extreme events. Right? So that's a big

1 broad question on do we have enough capacity energy on
2 the system? And to Mr. Uhler's point, you know, our
3 ability to dispatch the resources when we need it.

4 And I want to point out that even though
5 Diablo is a firm resource, by having 2,000 megawatts of
6 firm resources frees up existing dispatchable resources
7 for us to be able to flex up and down. So, it's an
8 important point for consideration. So that's kind of
9 like one element. Right? So, do we have enough energy?
10 Do we have enough capacity? And can we benefit from
11 Diablo as a resource to overcome the potential
12 shortfalls? And I think, you know, much of our
13 presentation today is that.

14 The second one was around safety. It was a
15 big concern. You know, that's not the task of CEC in
16 the 846 legislation. Our job is to elevate the
17 shortfalls and the system's ability to keep the lights
18 on. But there is an independent body that the 846 calls
19 for to continue the safety discussion.

20 And finally, I think you know there was, you
21 know, rightfully so some strong push back on, you know,
22 agreed upon the Diablo closure, and the joint party
23 negotiation, and how there was a joint party resolution,
24 and moving away from that resolution was something of an
25 issue. And I think, you know, it's prudent not just for

1 the state but between any two parties when we negotiate
2 it's important to honor you know the past agreements.
3 And when things change, you know, how do we put the new
4 proposition on in a thoughtful manner to move forward
5 together?

6 So, I think there are multiple pieces and I
7 want to call the attention that CEC's specific role is
8 in establishing the shortfalls. And that's what we are
9 voting on today. It-- does the shortfalls that we see
10 and anticipate makes this determination of prudence in
11 not just extending. The other way of thinking about it
12 is like, are we ready to close resources when we don't
13 have enough resources online? So, I think that's an
14 important element.

15 So, second, I want to just call out, you know
16 we forget the extraordinary moments that we go through
17 when we kind of skate through them. Right? So, 2020
18 was just two and a half years ago when we did not skate
19 through. We had lights, lights go off in California.

20 In 2021, we were really close when the Bootleg
21 fire happened. I remember literally sweating it as I
22 was falling the CAISO chart, you know losing 4,000
23 megawatts of resources in a minute. And then how do you
24 shore up the resources?

25 And 2022, as David mentioned, was

1 extraordinary. And I just want to like make sure we
2 kind of, you know, put kind of a finer point on this.
3 Our departure from the median forecast was 7,000
4 megawatts. That's two LADWP's. That's nearing
5 Oregon's, the state of Oregon's, peak load. That's kind
6 of how much we departed. And we are talking about
7 keeping the lights on during those times, and I think
8 it's extremely important we think about that from purely
9 you know, the problem we see at that level.

10 Two, I think you know we are all working
11 really well. The agencies are working really hard to
12 bring in a lot of resources to bear. But couple of
13 elements. First, we should improve our situational
14 awareness and characterization of reliability
15 challenges. And I think David did an excellent job on
16 talking about that.

17 And it's important for you all to note that we
18 are talking about reliability challenges in three broad
19 buckets. One, are we procuring enough? Is the CPUC and
20 CEC and CAISO doing the planning activities necessary to
21 authorize enough procurement? Two, are we building it
22 fast enough? And three, regardless of building them, we
23 are still planning to these standards that are quickly
24 becoming obsolete. You know, which are one in 10
25 planning regime of one in 10 loss of load expectation.

1 What are you going to do beyond that when we see these
2 extraordinary events?

3 So I think we framed them over the last couple
4 of years in those three buckets and we are talking about
5 this in that totality. So, the other part I want to
6 make sure I elevate here is when David mentioned-- he
7 showed three specific charts and one was under the
8 existing planning standards. When we talk about
9 existing planning standards, we are talking about a 17
10 percent PRM. Right? That's the planning reserve
11 margin. Now very quickly that planning reserve margin
12 is becoming difficult to match the one in 10 planning
13 regime right there.

14 So historically what we did was a one in 10
15 loss of load expectation roughly translates to a 15
16 percent PRM, right? Planning reserve margin. And it's
17 easy for us to do resource adequacy along those lines.
18 With the resource mixes that are changing and continues
19 to evolve, that one in 10 planning regime doesn't
20 necessarily nicely translate to a 15 percent PRM.

21 Even though CPUC is taking extraordinary steps
22 in you know, creating more and more cushion, 16, 17
23 percent, you know, the jury is still out on whether
24 that's enough. Right? So, it's important for us to
25 consider the analysis in the lens of a 2020 event or a

1 2022 event that David mentioned. So those are some
2 high-level pieces I wanted to elevate for you all.

3 And in summary, I mean from my perspective as
4 I work with David closely and a number of colleagues
5 from other agencies, you know as we confront a rapidly
6 changing climate, extraordinary heat events and a record
7 energy demand are becoming very common. And it's
8 probably some of that could go into the planning
9 assumptions, but some of that might not ever be captured
10 because we are moving away so quickly.

11 The state needs to keep all the options open
12 on the table as we consider, you know, ensuring that we
13 safeguard the transition to protect public health and
14 safety. You know, that's where maintaining the kind of
15 path of extending Diablo comes into place. And an
16 extension would allow more of those additional clean
17 energy resources to come online and hopefully obviates
18 the need for Diablo if that's where the state wants to
19 go.

20 And it's important to just consider that if
21 the lights go off, the entire climate agenda of
22 California, which so broadly relies on electrification,
23 will be at jeopardy. And I think that's important to
24 continue to think through those lanes.

25 So, with all that said, I look forward to

1 supporting the resolution and also want to give a big,
2 big kudos to David, Kristen, elevate a few other people,
3 Mark Kootstra, Chi Hong, Hannah, Liz and Ben, and our
4 colleagues from CPUC, Luong (Phonetic), Itskala
5 (Phonetic), Nathan Barcic and his IRP (Phonetic) team for
6 the incredible work on the Joint Agency Report, which
7 also informed this work. So, with that, thank you so
8 much and back to you Chair.

9 CHAIR HOCHSCHILD: Great, thank you Vice
10 Chair. Other comments from Commissioners?

11 COMMISSIONER MONAHAN: Well I just--

12 CHAIR HOCHSCHILD: Yes, please.

13 COMMISSIONER MONAHAN: I just want to say, and
14 I told David this in an email, just that I found this
15 report really clear and compelling. And it kind of
16 shows to me what you can do in a short report, which
17 often takes a lot more work and thought than a long
18 report. This one was short, and it really did I feel
19 like walk through why you're making the recommendation
20 you're making.

21 And I found figures six and figure seven so
22 compelling. It was basically the 2020 equivalent event
23 with project delay assumptions built in, and a fire risk
24 built in compared to the 2022 equivalent event and what
25 energy shortfall we could expect. And it was just

1 really powerful. So, I found, you know, this just a
2 very well written report. And just give again, David,
3 you and the team, just a lot of appreciation for the
4 hard work that went into it and the clarity with which
5 you were able to communicate the challenge that we face.

6 And Vice Chair Gunda, I thought it was really
7 helpful for you too when you walk through, like this is--
8 - we are not making a determination about safety. Our
9 charge here is just very clear. And so, I think that
10 it's really important as we struggle through all the
11 issues around what does it mean to maintain a reliable,
12 safe, affordable energy system. This is just one piece
13 and there are other pieces that other agencies have to
14 be involved with that are critical too.

15 CHAIR HOCHSCHILD: Yeah, well said. Well, I
16 think you said everything I could possibly think of.
17 Are there Commission--

18 COMMISSIONER MCALLISTER: Yeah.

19 CHAIR HOCHSCHILD: Commission McAllister,
20 please.

21 COMMISSIONER MCALLISTER: Yeah, I just wanted
22 to you know, mention-- so, thanks David for-- agree,
23 really well done report. And just really excellent
24 visuals, you know they're simple and as you walk through
25 them, easy to understand and I think communicate

1 externally really, really clearly. And that you know
2 this decision isn't trying to fix all problems for all
3 people. It's trying to you know sort of satisfy a
4 particular sort of bridging function, that you know
5 there's enough uncertainty over the next 5, 6, 7 years.
6 We need that flexibility, that diversity of resources
7 that we can use.

8 Also, you know my understanding is that the
9 PUC's procurement, sort of you know, the sort of
10 consideration of the status quo sort of stops, and then
11 you're projecting forward with what we know. And then
12 you know as the situation changes the PUC will have
13 tools in the toolbox and could make new procurement
14 orders. And kind of -- so, it's not necessarily a
15 static analysis you know for the rest of the decade or
16 for the next few years, but it is kind of a snapshot of
17 where we think we are now and the information we have to
18 make a decision. So just-- we want to confirm that.
19 That you know there are-- the situation will continue to
20 morph, and we do have other tools in the toolbox. Maybe
21 that's for David or Vice Chair Gunda.

22 VICE CHAIR GUNDA: Yeah, I think--

23 CHAIR HOCHSCHILD: Is there any comment?

24 VICE CHAIR GUNDA: Yeah, just wanted to one
25 point I think to David's comments earlier. So, we have

1 this determination, and then we are going to have the
2 September report where we're talking about options. And
3 then there is the safety conversation that all gets
4 submitted to PUC. And PUC then has this opportunity to
5 determine how long to actually extend and continue to
6 look at that. And Commissioner Douglas now is going to
7 be leading that effort and we will closely collaborate
8 on providing her that information.

9 COMMISSIONER MCALLISTER: Great. Great.
10 Thanks for that. Yeah, well done.

11 MR. ERNE: Only other response I was going to
12 have Commissioner is yes, we have the tool in the
13 toolbox to order more and that's valuable, but ordering
14 more doesn't necessarily mean you can build more. And
15 so there's still a risk in terms of the build even if
16 you order more.

17 COMMISSIONER MCALLISTER: Yeah, totally
18 appreciate that. Thanks.

19 VICE CHAIR GUNDA: And I think the kind of
20 struggle we had in this public conversations was you
21 know the recommendation on applying a certain percent of
22 delay. Right?

23 I mean you can apply 20 percent delay for
24 2,000. At 50,000 we applied two percent or 20 percent,
25 it doesn't translate. So, we at some point we will peak

1 out on how much we can actually build, and then all the
2 constraints that Commissioner Monahan is going to look
3 at in the IEPR on why are we not able to build fast
4 enough? And how much can we build? And what does it
5 take to build? So.

6 COMMISSIONER MCALLISTER: Yeah, it'd be really
7 interesting to see you know, three, five years from now
8 where we are and revisit this decision and see what the
9 runway then looks like.

10 VICE CHAIR GUNDA: And I think, Commissioner
11 to your point, the optimism of you know, the extension
12 through 2030 and whatever the legislature decides. You
13 know, if they would like to intervene again, you know
14 our charter first of all is not that. But then the
15 optimism for me is that by the time we get into 2030--
16 one, we will have an opportunity to dig ourselves out of
17 this changing paradigm because once you actually meet
18 the requirements in terms of demand, the annual increase
19 of demand is not going to be that high.

20 And then the other opportunity is really the
21 V2G, right? And the VGI opportunity of like, you know,
22 60 gigs on the wheels by 2030, and how are you bringing--
23 - going to bring that to the table, and then that'll
24 change that conversation significantly.

25 COMMISSIONER MCALLISTER: So, getting to the

1 other side with those new tools is really going to be
2 critical.

3 VICE CHAIR GUNDA: Yeah.

4 COMMISSIONER MCALLISTER: Great. Well thanks
5 for that.

6 CHAIR HOCHSCHILD: Yeah, I would just-- I
7 think that's a great observation to end on, that a lot
8 of the load we're adding could ultimately go both ways
9 when it's vehicles and can flex, because we're adding
10 load that's you know with smart capabilities

11 COMMISSIONER MCALLISTER: And buildings.

12 CHAIR HOCHSCHILD: Yeah, yeah. So anyway,
13 unless there is additional public comment or additional
14 Commissioner discussion, I would welcome a motion on
15 this item from the Vice Chair. Item 9?

16 VICE CHAIR GUNDA: Move Item 9.

17 CHAIR HOCHSCHILD: Commissioner McAllister,
18 are you willing to Second Item 9?

19 COMMISSIONER MCALLISTER: Second, Item 9.

20 CHAIR HOCHSCHILD: All in favor say aye. Vice
21 Chair Gunda?

22 VICE CHAIR GUNDA: Aye.

23 CHAIR HOCHSCHILD: Commissioner McAllister?

24 COMMISSIONER MCALLISTER: Aye.

25 CHAIR HOCHSCHILD: Commissioner Monahan?

1 COMMISSIONER MONAHAN: Aye.

2 CHAIR HOCHSCHILD: Commissioner Gallardo?

3 COMMISSIONER GALLARDO: Aye.

4 CHAIR HOCHSCHILD: And I vote aye as well.

5 We'll turn now to Item 10, Commissioner Presiding Member
6 Reports. Let's see, why don't we begin with—how about
7 Commissioner Gallardo.

8 COMMISSIONER GALLARDO: Thank you, Chair.
9 Mine will be quick. I was actually sick the last few
10 weeks, so just been focused on trying to recuperate and
11 you know, set up the fundamentals of my office and
12 wanted to give a big thank you to my assistant, Holly,
13 and my interim advisor, Andrea, for putting up with me
14 being patient and just being diligent on their end and
15 proactive on helping me out. So, I'll leave it there
16 for now. Turning back to you, Chair.

17 CHAIR HOCHSCHILD: Okay. How about
18 Commissioner McAllister?

19 COMMISSIONER MCALLISTER: Yeah, just quickly
20 wanted to just say we're really looking forward to the
21 Tribal En Banc. I think you know we're all headed up
22 there over the next day or so, and I think that's really
23 going to be monumental and just a terrific activity for
24 us to focus on this in a way that's all together and
25 really build a dialogue and build the nexus of

1 conversation that we need to really elevate tribal
2 issues going forward. So, thanks Noemi and Katrina and
3 all the folks, Mona, all of those who've been putting
4 this together since-- there's a huge spreadsheet of
5 logistics that's quite impressive. So, I'm looking
6 forward to that.

7 Wanted to just also mention a visit that the
8 Chair and I made a few days ago to Blue Planet, which is
9 doing a really interesting proof of-- it's more than
10 proof of concepts, it's actually a pilot, a plant that
11 is actually taking carbon dioxide from a power plant and
12 capturing it and putting it into aggregate to use in
13 concrete. And in fact is using as its prime material
14 recycled concrete and extracting the aggregate and the
15 limestone and all materials from that as its feedstock
16 to make a new concrete and new aggregate. So, it's
17 actually quite impressive and has a potential to go
18 seriously carbon negative in terms of its carbon
19 footprint.

20 And as you all know, cement is-- concrete and
21 cement are two of the-- that overall ecosystem is one of
22 the most problematic and largest sectors of our economy,
23 you know not just in California but globally. It's the
24 most carbon intensive building material and it's just
25 fundamental to our built environment. And so, solutions

1 there are just really needed and there's a lot of
2 innovation going on in that sector and I'm just really
3 excited to see that whole kind of life cycle approach to
4 how we do cement in our-- do concrete, rather, in our
5 economy. So had a nice group of staff along with us and
6 that was an excellent trip.

7 And then finally just want to give kudos to
8 all of the staff and RETI and efficiency division
9 working on the Equitable Building Decarb Program, you
10 know relatively complex large program, and really
11 beginning to make serious progress on developing the
12 program structure. And working to bring in some, not
13 just sort of guide, provide feedback into the federal--
14 the IRA discussion so that we try to get that money
15 aligned with our state funding for building decarb, but
16 also getting some competitive monies that can come in
17 and help us compliment those formula resources.

18 And in particular, you know the staff in the
19 Compliance Unit is working on a couple of competitive
20 solicitations to DOE to improve compliance. And, have
21 gotten the go ahead to go on from the base proposal to
22 the full proposal which will be due here at the end of
23 the month. So, Daniel Wong and Lorraine White and the
24 team in the efficiency division working on that, wanted
25 to just give them kudos. And roll up sleeves and we'll

1 get the full proposals in and fingers crossed DOE looks
2 favorably on that. But just an example of staff really
3 pulling together and thinking outside the box to go for
4 these opportunities to bring funding to the state to do
5 what needs to be done and you know get our built
6 environment decarbonized in earnest. So, with that I
7 think I'll leave it there.

8 COMMISSIONER MONAHAN: Okay, Commissioner
9 Monahan.

10 COMMISSIONER MONAHAN: Well, I went with the
11 Chair to Stanford together with some of our Stanford
12 grads, Jonah and Terra Weeks, but I'll leave that to you
13 Chair and that's-- since you were the one that organized
14 that. But it was great to see the partnership that we
15 have and the partnership that we-- deepening partnership
16 that we could have with Stanford and its graduates.

17 So, I also wanted to emphasize actually that
18 day, there was an event as the Chair and I were
19 commuting together, that Tesla has named its engineering
20 headquarters in Palo Alto. And you all may recall there
21 was a lot of drama when the headquarters of Tesla was
22 moved to Texas. So, at this event the governor came,
23 there was really, it was really interesting to hear, if
24 you want to check it out online that the governor
25 talking with Elon Musk.

1 And one of the things that Elon Musk said,
2 which I want to verify, but he said that the Fremont
3 facility is the most productive EV manufacturing
4 facility, not EV-- vehicle manufacturing facility in the
5 United States. So, I actually want to fact check that
6 one because that's a pretty powerful statement if it is
7 indeed true. I think you all know there's over 20,000
8 employees at that factory and it's just really, you
9 know, heartening that California, the sort of the policy
10 environment we have in terms of really promoting a zero
11 emission vehicle future, having the most productive
12 vehicle manufacturer in the country located here is just
13 a powerful thing. And I think it cements some of the
14 work that we're doing in supporting EV manufacturers,
15 ZEV manufacturers here in California.

16 I also wanted to share that Ben Wender and I
17 met with a company, kind of following the footsteps of
18 Commissioner McAllister around an interesting company.
19 It's called B2U, or Battery Second Use. And it's the,
20 as far as I know, the only company that's using used EV
21 batteries to provide storage to the grid.

22 So, it's located in Lancaster. It has 25
23 megawatt hours of storage capacity made up of 1300
24 batteries, mostly from Nissan Leafs but also from Honda
25 vehicles. And it's selling into the wholesale market.

1 It earned over a million dollars last year according to
2 the president of the company.

3 And we talked to them about the fact-- we
4 asked them, well, do you have any other plans to do
5 this? And he said, yeah, we're trying to expand. We
6 could by the second half of the summer, we could have 12
7 megawatt hours of another facility using EV battery. So
8 I just wanted to share everyone in terms of-- there is
9 this potential market for used EV batteries to provide
10 storage before they're recycled.

11 And one of the pressures that he talked to us
12 about is the fact that because of the Inflation
13 Reduction Act, there's a lot of pressure to reuse-- to
14 recycle the minerals and lithium and other cobalt and
15 other precious metals from batteries. And that may
16 affect the second life potential for these batteries
17 because they're going to become more valuable just to be
18 used as a domestic source of minerals. So, some of the
19 unintended consequences I would think of some of the
20 policies that we have which may in disincentivize second
21 use. And I think it's just something for us to be
22 cognizant of. And that's all. Pass it to you, Chair.

23 CHAIR HOCHSCHILD: Okay. Vice Chair Gunda?

24 VICE CHAIR GUNDA: Yeah, thank you, Chair.

25 It's been a couple of weeks now since the last business

1 meeting and it's always something's happening. So, I
2 just want to note that I was able to go up to Eureka to
3 attend the annual crab feed of the Operating Engineers
4 District 40. It was just an amazing opportunity to be
5 up there and continue to develop relationships with the
6 community up there on offshore wind issues.

7 And Kat from your office, from Chair's office
8 joined, and it was a really good meeting and an exposure
9 for me. One thing that was the first time I tried crab,
10 I never ate crab before, so it was great. But I thought
11 crab feed meant we were going to feed the crab. So, I
12 took my children up there promising that we are going to
13 feed the crab and it did not turn out well. So I think-
14 - so that that's on that issue.

15 With second, we did go into-- last week we had
16 a legislative hearing on the governor's gas penalty
17 proposal. So, CEC was kind of supported the
18 administration's proposal and we testified there too, at
19 the information hearing on sharing what the governor's
20 proposal is and the CEC's continued work. And for all
21 of you, I think it's important to note that the
22 governor's proposal has two elements. One is the
23 penalty on the refinery margins, but there's also
24 another big elements that will become CEC-centric, which
25 is the improving transparency of the petroleum industry,

1 including data gathering and essentially an SB 100
2 equivalent study on petroleum and fuel transition. So
3 just sharing that that's a great opportunity for all of
4 us to think about how to both incorporate equity and its
5 implications, but also the transportation climate policy
6 as a whole.

7 And you know, along those lines, we are, Chair
8 and I are actively interacting with the petroleum
9 industry. We have a Chevron refinery tour coming up
10 next week and the Martinez, the biofuels trip that's
11 coming up as well. So, we are actively engaging on all
12 elements there.

13 Had a chance to meet with SMUD's leadership
14 last week, which was extremely beneficial. I think SMUD
15 provides a unique opportunity in working with the POU on
16 the DEBA setup and the DSGS monies, and to really test
17 out some unique opportunities, whether it's vehicle to
18 grid integration, virtual power plants. So you know
19 just add good discussions on encouraging SMUD to also
20 continue to apply for some of the money we have and
21 showcase some of the opportunities.

22 And finally, Commissioner McAllister, I
23 thought he was going to talk about this. Commissioner
24 McAllister and I are heading to Portland in a week to
25 attend the Northwest Regional Expansion Summit. Really

1 an opportunity to meet with colleagues from Oregon,
2 Nevada, broader west, you know, hear from some of the
3 producers and continue the discussion of you know the
4 evolution of the Western market. So those are our
5 stuff. Thank you.

6 CHAIR HOCHSCHILD: Thank you, Vice Chair.
7 Yeah, just briefly. So yeah, actually the Tesla factory
8 is the most productive car factory in the United States.
9 Over 600,000 vehicles expected to be produced there this
10 year. And it was nice see the R&D facility and
11 headquarters open in Palo Alto.

12 I did want to just say a word about the
13 Stanford relationship. As many of you recall last year,
14 John Doerr made a billion dollar gift to Stanford to set
15 up a new climate school that's being run by Arun
16 Majundar, who we've worked with for a long time on a
17 bunch of capacities, including having this fellowship
18 with this program with Stanford graduate and undergrads
19 to come work at the Energy Commission and other public
20 agencies on energy. It's been really fruitful. So, I
21 had a great dialogue with them on a bunch of areas of
22 common interests. And thank you Commissioner Monahan
23 and Terra all who joined that day, particularly from the
24 R&D team; Virginia Lew and Johnah Steinbuck and others.

25 I also wanted to share, I did a visit on

1 Friday with Hannon Rasool down to BYD; their electric
2 bus factory, which is in Lancaster 550,000 square feet.
3 They're looking at opening another facility later this
4 year to make up to 4,000 electric school buses a year
5 there, and are designing them all to be V2G. So that
6 the typical duty cycle for an electric school bus is
7 usually 50 miles or less, and they would build it with
8 150-mile capacity and then be able to provide ancillary
9 services to the grid. So, really interesting
10 discussion. And Vice Chair, I'll follow up with you on
11 the summary of the reliability elements of that. So
12 that was terrific.

13 And then I just also wanted to note that today
14 is the opening of the very first Tesla superchargers
15 that are open to the public. So, there are two chargers
16 that were opened just today and announced, and I think
17 one's in Placerville and I can't remember where the
18 other one was. But you know that that's really a walled
19 garden turning into a public park, and we want to make
20 as much fast charging capability available to all
21 vehicles as we can. It's going to be really helpful to
22 accelerate deployment and adoption of electric vehicles
23 and a really core part of our strategy.

24 I will stop there and just say I'm going to be
25 looking forward to this En Banc. And with that we'll

1 turn to Item 11, Executive Director's report.

2 MR. ERNE: Thank you Chair, Commissioners.

3 Just one thing to report, which is March is a budget
4 season this year, as it always is. So, over the coming
5 weeks we will be testifying before the Senate and the
6 Assembly on our budget items. And I will keep you
7 posted. I will be joined by our directors to help out
8 as questions come from the legislature.

9 CHAIR HOCHSCHILD: Yep. Great. We'll go to
10 Item 12, Public Advisor's report.

11 MS. BADIE: No report from me. Thank you.

12 CHAIR HOCHSCHILD: Item 13, Chief Council's
13 report.

14 MS. BARRERA: No report from the Chief
15 Council's office. Thank you.

16 CHAIR HOCHSCHILD: Okay, we're adjourned.
17 Thanks everybody.

18 VICE CHAIR GUNDA: Thank you, all.

19

20 (Whereupon the meeting was adjourned at 1:21
21 p.m.

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of March, 2023.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of March, 2023.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852