

## DOCKETED

<b>Docket Number:</b>	14-AAER-02
<b>Project Title:</b>	Computer, Computer Monitors, and Electronic Displays
<b>TN #:</b>	204632
<b>Document Title:</b>	04-15-15 Staff Workshop Transcript
<b>Description:</b>	On Computers, Computer Monitors, Signage Display Efficiency Opportunities
<b>Filer:</b>	Patty Paul
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	5/15/2015 4:38:14 PM
<b>Docketed Date:</b>	5/15/2015

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the Matter of: ) Docket No. 14-AAER-2  
)  
2015 Appliance Efficiency )  
Pre-Rulemaking California )  
Code of Regulations, Title 20 )  
Sections 1601 through 1608 ) Staff Workshop

Staff Workshop on  
Computers, Computer Monitors, Signage  
Display Efficiency Opportunities

CALIFORNIA ENERGY COMMISSION  
1516 NINTH STREET  
ART ROSENFELD HEARING ROOM  
SACRAMENTO, CALIFORNIA

WEDNESDAY, APRIL 15, 2015  
10:05 A.M.

Reported by:  
Peter Petty

## APPEARANCES

### Commissioners Present

Andrew McAllister

### Staff Present

Ken Rider

Harinder Singh

Pat Saxton, Advisor to Commissioner McAllister

### Also Present (\* via telephone)

### Stakeholder Presentations

Chris Hankin, Information Technology Industry Council

Mark Hollenbeck, Hewlett Packard

Shahid Sheikh, Intel

Gary Verdun, Dell

Donna Sadowy, Advanced Micro Devices

Mark Cooper, Consumer Federation of America

Bach Tsan, California Investor Owned Utilities

Nate DeWard, Energy Solutions

Peter May-Ostendorp, Xergy

Pierre Delforge, Natural Resources Defense Council

Vojin Zivojnovic, Aggios

Davorin Mista, Aggios

Gabriele Peterschmidt, ITI/TechNet/HP

Chris Kuch, California Investor Owned Utilities

Bijit Kundu, Energy Solutions

Clancy Donnelley, Ecova

### Public Comment

Gary Fernstrom, PG&E

Ned Finkle, NVIDIA

Stephen Eastman, Intel

Charles Kim, Southern California Edison

Andrew deLaski, Appliance Standards Awareness Project

## I N D E X

<u>Stakeholder Presentations</u>	<u>Page</u>
Chris Hankin	34
Mark Hollenbeck	39
Shahid Sheikh	50
Gary Verdun	63
Donna Sadowy	84
Mark Cooper	93
Bach Tsan	100
Nate DeWard	102
Peter May-Ostendorp	106
Pierre Delforge	111
Vojin Zivojnovic	122
Davorin Mista	126
Gabriele Peterschmidt	217
Chris Kuch	218
Bijit Kundu	219
<u>Public Comment</u>	
Gary Fernstrom, PG&E	135
Ned Finkle, NVIDIA	138
Stephen Eastman, Intel	144
Charles Kim, Southern California Edison	163
Andrew deLaski, Appliance Standards	175
Awareness Project	
Adjournment	233
Reporter's Certificate	234
Transcriber's Certificate	235

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

APRIL 15, 2015

10:05 A.M.

MR. RIDER: We'll go over some housekeeping here and then we'll move on to some opening remarks from Commissioner McAllister.

Good morning, everyone. I'm Ken Rider, and I want to go over a few housekeeping items before we begin.

For those of you that are not familiar with this building, the closest restrooms are located out that door to the back.

There's a snack bar on the second floor, under the white awning, and that's just above the staircase out the door.

Lastly, in the event of an emergency and if the building is evacuated, please follow our employees, like me, to the appropriate exits and we will reconvene at Roosevelt Park, which is located diagonally across the street from the building. So it would be out the door and to the right. And then please proceed calmly and quickly following the employees with whom you are meeting to safely exit the building.

Thank you.

LEAD COMMISSIONER MCALLISTER: Okay.

1 Well, thanks everybody for coming. I'm Andrew  
2 McAllister, Lead Commissioner on Energy  
3 Efficiency here at the Energy Commission. It's  
4 great to see the turnout today. I'm really  
5 excited to hear what the conversation -- how it  
6 goes and really encourage you all to participate  
7 fully.

8           You know, over the last 18 months or so,  
9 we've really tried in this area of device -- of  
10 devices and all the others that are at various  
11 stages of development in terms of developing  
12 Title 20 Appliance Efficiency Standards, and  
13 we've really tried to create opportunity after  
14 opportunity consistently for folks from all the  
15 stakeholder groups, you know, industry and  
16 advocates and everyone working in these issues to  
17 provide their input. You know, more information  
18 is better. But it's a voluntary process, and our  
19 decisions depend on having a record that is  
20 robust. And there's every opportunity in the  
21 world to -- for folks who have informed opinions  
22 to put that on the record so that we can take it  
23 into account for development of the standards.

24           So this computers and monitors and all  
25 the categories that are under discussion today

1 for this group of devices, we're in the  
2 pre-rulemaking phase. There's a staff report  
3 out, and we have not opened the formal  
4 rulemaking, so we're in a relatively free-form  
5 period. But there's a good proposal on the table  
6 that we really want to get everyone's feedback  
7 on.

8           We're focused on waste, on relatively  
9 easy opportunities for reducing waste in computer  
10 servers, monitors, and displays. Generally, the  
11 focus is on standby, and there's lots of ways  
12 that staff has identified and we're looking  
13 forward to hearing everyone's opinion about that,  
14 for reducing that waste cost effectively.

15           Let's see. I want to point out Pat  
16 Saxton here, who is my adviser on this issue.  
17 And he or my other advisor here, Hazel Miranda  
18 will be in the room most of the day. I'm going  
19 to have to come and go a little bit. This is a  
20 staff workshop, and I'm going to leave it to Ken  
21 and the crew to keep things moving forward and  
22 make sure everybody gets their voices heard, and  
23 orchestrate the proceedings.

24           But I want to just thank, again, all of  
25 you for coming, thank staff for putting it

1 together, and keeping the train moving down the  
2 tracks here. And we're looking forward to  
3 hearing everyone's participation.

4           So thanks very much. Back to Ken.

5           MR. RIDER: Thank you, Commissioner.

6           I just want to briefly go over the  
7 agenda. We've got a very full agenda today.  
8 We're going to go through staff presentations and  
9 then industry presentations and then we'll move  
10 on to public comments.

11           I want to highlight, if you know that  
12 you're going to make -- or you're certain that  
13 you would like to make a comment in the open  
14 discussion and comment period, it would be very  
15 helpful if you fill out a blue card and I'll take  
16 the blue cards first when we get to the open  
17 comment period. The gentleman in the back of the  
18 room at the table there will collect the blue  
19 cards and hand them to me, and when we get to the  
20 open comment period, I'll read those off first  
21 and then I'll go generally to the room after  
22 that.

23           So I just want to be kind of clear on the  
24 process for today.

25           LEAD COMMISSIONER MCALLISTER: Actually,



1 Ken, I'm going to jump in and just say one other  
2 thing.

3 MR. RIDER: Yes.

4 LEAD COMMISSIONER MCALLISTER: I just  
5 want to make sure -- I often forget to do this,  
6 and I'm just going to correct myself here at the  
7 outset. You know, we, California, has adopted  
8 long-term goals for carbon emissions, and a  
9 fundamental part of that strategy has to do with  
10 energy efficiency. So I just wanted to highlight  
11 kind of the importance and the broader context of  
12 what we're doing here today just to put a finer  
13 point on it.

14 You know, energy efficiency still remains  
15 a huge opportunity to reduce the impact of our  
16 energy systems in California. Lately, we've been  
17 working more in the water arena as well. We're  
18 in a state of emergency, and we have an Executive  
19 Order that really asks us to double down on that  
20 area.

21 But this set of devices, certainly,  
22 computers, you know, are a big deal in  
23 California. We all know that. And they  
24 present -- they have a lot of energy consumption,  
25 and they present good opportunities for savings.

1           So this is part of a long-term strategy  
2 for the state to reduce its carbon emissions,  
3 primarily within that energy efficiency. And  
4 that's why it's important, and that's why we want  
5 to make sure to consider all cost-effective  
6 opportunities and really understand them so we  
7 can inform our decision and come down in the  
8 right place on this. So we really depend on all  
9 of you to participate fully in that process.  
10 It's important and it's urgent.

11           So thanks again.

12           MR. RIDER: Thanks.

13           So my name is Ken Rider. I'm an  
14 electrical engineer. I'm the lead on the  
15 computer standards.

16           Today's agenda for the presentation that  
17 I'm about to give, I'll go into some background  
18 about computers, go into the energy use, some of  
19 the efficiency trends, then into the actual  
20 proposed regulations, explain exactly what's  
21 being proposed in the staff report, go into some  
22 of the benefits, like energy savings, and then  
23 kind of go over the timeline and next steps for  
24 the process.

25           So, as Commissioner McAllister mentioned,

1 we've been at this particular topic for quite  
2 some time. We've provided many opportunities for  
3 public input. We first decided to look at  
4 computers way back in 2011 and going into 2012.  
5 And during much of 2013 and '14, we were  
6 gathering data and information and comments.

7           The proposed computer standards are  
8 focused on four main form factors, which are  
9 desktops, notebooks, small-scale servers, and  
10 workstations. And in the proposed regulations,  
11 thin clients and integrated desktops are combined  
12 into the desktop category.

13           So computer use over the years has  
14 increased quite a bit. When I was born in 1984,  
15 8.2 percent of households had a computer. And  
16 you can see, only recently have we started to  
17 reach the plateau of saturation, according to the  
18 U.S. Census data.

19           Desktops still make up the majority of  
20 primary computers in residential spaces,  
21 according to the most recent home surveys  
22 conducted here in the State of California, and  
23 notebooks are a huge chunk of that, too. So you  
24 can see, essentially, it's almost a 50/50 split  
25 between desktops and laptops in terms of the most

1 used computer in households today.

2           So this is really important terminology  
3 to understand. I'm sure it's going to come up,  
4 these terms, several times throughout the day.  
5 Computers operate in several modes; and, today,  
6 we're really going to define them into five  
7 discrete modes.

8           Off mode, which is where the computer  
9 is -- it's also referenced as "soft off," is  
10 where the computer is, essentially, shut down but  
11 not by a hard switch; it's just if you hit  
12 "start," "shut down," on a Windows machine, that  
13 would be off.

14           Sleep mode, it can be entered either  
15 manually or automatically, but that's where the  
16 monitor is off, the computer is really in a very  
17 low power state and you can't -- it's not really  
18 actively doing anything.

19           Short idle and long idle, these are where  
20 the computer isn't being used. And, for short  
21 idle, it's roughly five minutes of inactivity,  
22 computer, no programs are running; it's just  
23 sitting there and no one is using it. Long idle  
24 is a bit later on, the screen's shut off, still  
25 no one's been using it, and it's just --

1 essentially, it's been running idle for a longer  
2 period of time.

3           And then there's active mode, which  
4 really isn't the focus of today, but active mode  
5 is where someone is currently using it. I'm --  
6 this computer I'm on right now is in active mode.

7           And each of these modes is progressively  
8 higher and higher power.

9           Idle modes are very important because  
10 computers spend a significant amount of time in  
11 idle modes. For example, the Energy Star duty  
12 cycle assumes that conventional desktops are on  
13 in idle for 50 percent of the time and 40 percent  
14 of the time for notebooks.

15           And the energy consumption in other  
16 modes, such as, sleep and off, are fairly  
17 minimal, and I'll give an example of that.  
18 Here's a desktop. So if you take a regular  
19 desktop computer that -- or a typical one that  
20 has a long idle of 45 watts, a short idle of 50  
21 watts, sleep at 2, and off of 1 watt, that's  
22 really kind of run-of-the-mill numbers, you can  
23 see what that translates, given the duty cycle,  
24 into energy consumption. Between short idle and  
25 long idle, you've got 98 percent of the power

1 consumption in a desktop. So that's why you see  
2 a lot of focus and discussion in this  
3 presentation and probably other presentations on  
4 short and long idle.

5           Computers also make up a fairly  
6 significant amount of statewide electricity use.  
7 Staff reviewed the studies that were submitted as  
8 part of our data-gathering process, and those  
9 studies showed between 2.5 and 4.4 percent of  
10 residential electricity consumption is in the  
11 computer itself. That's not including computer  
12 monitors or any accessories.

13           The computer consumption in commercial  
14 spaces is also significant, particularly in  
15 offices and educational spaces where, in  
16 buildings of those types, computers can make up  
17 over 10 percent of a building's electricity use.

18           And the majority of this computer  
19 electricity consumption is in desktops. Even  
20 though some studies show that desktops make up  
21 the minority of actual units, they use -- their  
22 power consumption levels are so much higher than  
23 laptops that they make up the majority of energy  
24 use.

25           The good news is the industry is making a

1 lot of good progress towards lower-consumption  
2 computers. And, even better, the parts and  
3 progress are cost effective. They run very fast,  
4 and the energy efficiency improvements are very  
5 impressive.

6           Innovations in laptops have led to  
7 power-consumption levels that are three to four  
8 times less than those that are commonly found in  
9 desktops. And, also, desktops are increasingly  
10 incorporating low-power idle states and low-power  
11 idle components and protocols that are enabling  
12 them to reach some of the same levels of power  
13 consumption.

14           And then sleep mode has already been -- I  
15 mean, industry has done a great job on sleep  
16 mode. It's been at low power for quite some  
17 time.

18           I'm going to kind of go part by part, the  
19 components that are -- and this is mostly a  
20 desktop focus -- just some of the energy  
21 efficiency improvements and opportunities that  
22 are out there.

23           So beginning with power supplies. Back  
24 in 2005, the 80 PLUS program got kicked off.  
25 It's run by Ecova's Plug Load Solutions. And

1 it's led to market transparency and also the  
2 identification of efficiency in power supplies.  
3 And it mainly focuses on 100-percent, 50-percent,  
4 and 20-percent output efficiencies.

5           The first product was certified in 2005,  
6 and today there are over 5,000 certified models.  
7 So it's really taken off since its induction.  
8 And there's been large momentum in both the  
9 Bronze, which is better than minimum, and Gold,  
10 which is -- quite efficient power supplies. And  
11 the price has been going down for both those  
12 categories as a result.

13           In addition, the U.S. DOE has adopted new  
14 requirements for external power supplies that  
15 will increase the minimum efficiency for external  
16 power supplies. That's important to laptops, as  
17 that's the primary way those get powered. And  
18 they've also reduced the no-load losses of  
19 external power supplies to a maximum of .2 watts.  
20 And so those requirements are coming down the  
21 road in February of 2016.

22           So this slide demonstrates the importance  
23 of efficiency in the power supply, and also,  
24 really, the importance of efficiency to idle mode  
25 power consumption. So the idle mode power levels



1 proposed in the standards are below 20 percent of  
2 most of the nameplate outputs of the power  
3 supplies on the market today. And the 80 PLUS  
4 doesn't really focus on that, but you can see  
5 that, you know, if you have a 60-percent  
6 efficient -- so these are the efficiencies of the  
7 power supply at idle mode. In an idle mode  
8 situation where the power supply -- and this is  
9 pretty obvious -- if it's 60-percent efficient,  
10 you've got 40 percent of the losses in the power  
11 supply unit and 60 percent getting delivered to  
12 the computer.

13           If, at the low idle mode power loading  
14 point on the power supply, you get 70-percent  
15 efficiency, now you've got a savings of  
16 14 percent. And the PSU is starting to not  
17 become the dominant idle mode consumption. If  
18 you can get to 80 percent, then really the PSU is  
19 starting to become a fraction of the power  
20 consumption that's contributing to idle. So  
21 efficiency at low power loading levels is pretty  
22 important in terms of hitting low idle power  
23 targets.

24           There has been a lot of innovation in  
25 processor efficiency. New processors are more

1 efficient per executed instruction, so in active  
2 mode, they're far more efficient per instruction  
3 than they have ever been. And they're also  
4 scalable, which means that they -- newer  
5 generations of processors are much better at  
6 matching their power consumption to the workload  
7 that they are requested to do.

8           The introduction of lower power working  
9 states, also known as C-states, are implementing  
10 CPUs that allow them to be progressively less  
11 consumptive the more idle a computer becomes, and  
12 those are not even just package-wide, those are  
13 core specific. So with the introduction of  
14 multi-core processors, the C-states allows  
15 individual cores that are idle to even enter  
16 these states. These low power states allow  
17 processors to scale and reach consumption levels  
18 of 1 watt when completely idle. And, also,  
19 processor manufacturers and computer  
20 manufacturers have introduced new sleep states,  
21 sleeplike states I should say, they're still  
22 active modes, such as SOI 1 and SOI 3, which are  
23 kind of connected standby modes that really allow  
24 computers to enter very low amounts of power with  
25 very high latency in waking up.

1           Hard drives, the data that we've seen on  
2 hard drives show a wide variation of power  
3 consumption in idle mode, anywhere from 0.05  
4 watts for, you know, some of the best solid-state  
5 drives to 7 watts in idle.

6           The good news is that improvements to  
7 SATA standard, which is the, you know, most  
8 commonly used communication protocol for internal  
9 storage drives, is including more and more power  
10 management states with the newer versions. I  
11 think the latest version is 3.2. And these new  
12 power management features allow for, not only  
13 lower power modes in the storage devices, but  
14 also in the controller itself. So the controller  
15 that manages the hard drive is also able to go to  
16 sleep with the latest SATA protocols.

17           And there's even the introduction of even  
18 deeper sleep modes, such as device sleep, and  
19 those allow for idle power draws in the  
20 milliwatts, so like 5, 6 milliwatts, which is  
21 really impressive.

22           There's power reduction opportunities in  
23 memory, lower voltage memory just inherently  
24 consumes less power. Memory is somewhat  
25 transitioning to DDR4, which is -- that standard

1 of memory just has a lower voltage supply  
2 compared to DDR3, which is maybe the most common  
3 current form of memory. Also, advanced  
4 management of memory can allow for power  
5 reductions. So there's some really clever ways  
6 that some manufacturers -- in memory,  
7 manufacturers have used to reduce power  
8 consumption by consolidating used data and  
9 specific modules and putting other modules to  
10 sleep.

11           And idle state can be entered, similar to  
12 the sleep state of RAM, when processes have  
13 reached minimal amounts, when workload is very  
14 low.

15           There are a lot of opportunities in  
16 motherboards as well. Motherboards contain a  
17 vast array of controllers, chips, and voltage  
18 regulators, and so there's a lot of parts there  
19 that can be improved upon. And some of the best  
20 motherboard manufacturers are certainly making  
21 progress on that. Desktop motherboards,  
22 particularly, often have controllers and devices  
23 that are never in use, or not currently in use,  
24 because of their large number of expansion slots.  
25 And you can see in the little picture here, all

1 these little slots, you know, some of them  
2 typically are filled, but a lot of them aren't.  
3 And so some motherboards allow for power  
4 management of those slots, where if they're not  
5 used, then the controllers are put to sleep right  
6 out the gate to save some power.

7           There's been some interesting innovations  
8 in optical drives as well. I mentioned already  
9 that SATA has updated many of their power  
10 management protocols, but an interesting part of  
11 those new protocols is something called "zero-  
12 power optical drive." And, essentially, CD  
13 drives that are not in use are able to go to zero  
14 power consumption, essentially, shut off  
15 completely, when there is nothing going on. And  
16 then when the tray button is hit, it wakes up and  
17 it goes to being fully active again. So some  
18 significant power-saving opportunities there.

19           So cooling. Cooling has been necessary  
20 even in idle when the idle power has been fairly  
21 high. So when you get an idle power that's in 50  
22 or 70 watts, that's still enough power where you  
23 need to run fans to keep the components cool.  
24 And if the CPU and other components aren't able  
25 to go into idle mode, then these fans need to

1 continue running to keep the chips and parts from  
2 overheating. However, when low power -- when  
3 idle is -- when very low-power idle modes are  
4 achieved, a lot of the cooling can be shut as  
5 well by either completely shutting down case fans  
6 and cooling fans on CPU or at least reducing the  
7 RPM, the rate of rotation, and, therefore, saving  
8 some power.

9           Graphics cards have made great leaps in  
10 terms of idle mode power. Some of the fastest  
11 and best graphics cards on the market today also  
12 are ones that use some of the lowest idle mode  
13 power. We were talking earlier about the GeForce  
14 GTX. We've got some NVIDIA guys here. That new  
15 card, I've seen some numbers on the Internet, has  
16 the lowest idle power I've seen out of various  
17 graphics cards I've seen. We haven't done the  
18 testing yet, but the numbers I've seen on the  
19 Internet are pretty impressive. So these guys  
20 are really doing some great work on bringing down  
21 their idle mode.

22           In terms of the short-idle mode versus  
23 the long-idle mode, so something to call back to  
24 what I was saying about modes, the long-idle  
25 mode, the screen is off, so in terms of achieving

1 really low RMO powers, the graphics card workload  
2 is in the absolute minimum mode it could ever be  
3 in a long-idle situation where the screen is off  
4 and, you know, no programs are running. So  
5 that's something to consider, if there's an  
6 opportunity to even further lower graphics cards'  
7 power consumption. Some machines are using  
8 graphic switching, mainly in laptop computers, to  
9 achieve some of that lower power consumption.  
10 And also mobile graphics cards are achieving some  
11 pretty low idle consumptions.

12           So this is a chart, a breakdown, of the  
13 power consumption of different components. This  
14 was provided by ITI in its comments to the  
15 Commission. And what I did is, I took a look at  
16 this from the perspective of a 50 watt idle  
17 desktop computer. And you can kind of see, this  
18 scales pretty well with what we've seen in  
19 measurements in terms of power draw per  
20 component. And what I did is, I took a look at  
21 this and I considered, okay, with all these  
22 technologies mentioned before, where would this  
23 be heading with, you know, the scalable  
24 processors, with the zero-power optical drive, if  
25 you hit the low idle modes, reducing the fan

1 speeds, doing all that kind of -- incorporating  
2 all the great innovations the industry has  
3 produced over the last couple years. And you can  
4 really drill it down.

5           Like I said before, you know, the idle  
6 mode on the CPUs can reach levels around 1 watt.  
7 Those are measured on current CPUs. The optical  
8 drive can hit zero. I gave a little bit of a  
9 budget there. But you can really see that the  
10 new technologies really, really allow the  
11 shedding of a great amount of that idle mode  
12 power, and that's what leads to this low-power  
13 idle target of something around the order of 12.2  
14 watts.

15           The proposed standards is in terms of  
16 annual energy consumption per year, it allows  
17 tradeoffs, but this kind of gives you an idea of  
18 where staff is looking at in terms of  
19 transitioning from kind of current levels of  
20 idle, or maybe this even a little bit year-ago  
21 kind of levels of idle, to what one might expect  
22 going into the future.

23           We took a look at all the proposals  
24 submitted by stakeholders. We also investigated  
25 standards from all over the world. So we looked



1 at the US Environmental Protection Agency, the  
2 Energy Star program, we looked at China, we  
3 looked at the European Union's computer  
4 standards, and we also looked at Australia. And  
5 we took a look at all the standards that are in  
6 the world and all the things submitted by  
7 stakeholders, and we tried to come up with draft  
8 standards that would maximize the energy savings,  
9 harmonize as much as possible with existing  
10 standards, and also incorporate all the comments  
11 and feedback that are in the record.

12           And so we came up with the regulations  
13 you saw in the staff report. And I'm going to go  
14 ahead and go over exactly what we're proposing.

15           So the scope of products in the staff  
16 report includes desktop computers, notebooks,  
17 small-scale servers, workstations, thin clients.  
18 Some things that it doesn't include are tablets  
19 and game consoles, handheld gaming devices, like  
20 the PSP, servers, like full-scale servers, and  
21 industrial process controllers, computers that  
22 are really used in like factory-type settings.  
23 And, you know, there's a whole lot of other  
24 things that are not in the scope, too, that  
25 are -- but these are some of the biggest ones we

1 got asked questions about.

2           The definitions in the proposed standards  
3 are taken from Energy Star Version 6.1. Those  
4 definitions go into a little more detail about  
5 what a notebook is, what a desktop is. We had to  
6 make some small modifications to the language and  
7 definitions to reduce it to necessities. There  
8 was a lot of extra language in there, helpful  
9 Energy Star guidance language, that just doesn't  
10 fit in a regulatory setting.

11           For the test procedure, we are proposing  
12 to align with Energy Star Version 6.1, and the  
13 proposed regulations quote the August 2014  
14 version of the test procedure. And we also  
15 propose to use that specification, that test  
16 procedure, for calculating energy -- annual  
17 energy use.

18           So the requirements for computers can be  
19 broken into kind of two segments.

20           We have some power management  
21 requirements. Computers that would be sold or  
22 offered for sale in the State of California would  
23 need to put displays into sleep mode after  
24 15 minutes or less of user activity. I believe  
25 that's aligned with Energy Star. All computers

1 would be required to transition into a sleep mode  
2 after 30 minutes or less of inactivity, with the  
3 exception of small-scale servers, which would not  
4 be required to transition into a sleep mode.  
5 Small-scale servers and workstations must be  
6 manufactured or sold with an 80 PLUS Gold Level  
7 Power Supply and also have energy-efficient  
8 Ethernet cards or features. And then notebooks,  
9 desktops, and thin clients -- and, again, thin  
10 clients having to meet the same standards as  
11 desktops -- must meet certain energy consumption  
12 targets. So the targets are contained in this  
13 table, as well as some proposed implementation  
14 dates.

15           So the target for notebooks is 30  
16 kilowatt hours per year, plus some adders, and  
17 I'll get into what those matters are in the next  
18 slide. And then the target for desktops is 50  
19 kilowatt hours per year plus some adders. And  
20 there are -- you might notice that there aren't  
21 any sub-product classes, like Energy Star breaks  
22 down and some other jurisdictions break down  
23 these products in many subcategories. The staff  
24 proposed regulations do not do that.

25           The effective dates -- and this is just

1 thinking of when we would think this would be  
2 effective -- would be January 1, 2017, for  
3 notebooks and small-scale servers and for the  
4 workstations. And, then, January 1, 2018, for  
5 desktops. And, again, that includes thin  
6 clients.

7           The proposed adders, many of you might be  
8 familiar with these, these are the same as Energy  
9 Star 6.1. There are adders for memory, so the  
10 more capacity of memory you have, the more annual  
11 energy use you are allowed to have. There is an  
12 incentive adder for energy efficient Ethernet for  
13 desktops and notebooks. There's a storage adder.  
14 And just to be clear by the storage adder, that's  
15 for every additional -- just like in Energy Star,  
16 it's for every hard drive or disk drive -- excuse  
17 me -- in addition to the first. So if you have a  
18 second hard drive, a third hard drive, you get to  
19 add this for every additional one. And then  
20 there's an adder for integrated display. For a  
21 laptop, that would be an adder to compensate for  
22 the screen that's built into the laptop. And  
23 then for a desktop, there are some desktops where  
24 the screen and the computer are all one, they  
25 even call them all-in-ones, and there's an adder

1 to allow for more energy because of the screen's  
2 use.

3           In addition, manufacturers would be  
4 required to certify their compliance with the  
5 standards in order to be able to be sold in this  
6 state. The amount of data we would collect is  
7 the minimum amount to determine whether the  
8 product complies, so things like the annual  
9 energy consumption, so we can check the annual  
10 energy consumption, the amount of memory, things  
11 that are very similar to what Energy Star  
12 collects for their certification.

13           Staff does not propose any specific  
14 labeling or marking requirements. The  
15 manufacturer name and model number would be  
16 required to be on the product just so that we can  
17 verify that it's in the database, but there's no  
18 additional special mark or any type of thing that  
19 we're proposing along those lines.

20           So with the proposed standards, we  
21 estimated what the energy savings could be. And  
22 I just wanted to kind of go over what our  
23 methodology is. So we have a data set of energy  
24 consumption of computers that are sold today in  
25 the market. And what we did is, if a computer

1 already met the standards, like this one, the  
2 green dot here, then we kept the energy  
3 consumption in that computer the same. It  
4 doesn't change. So we didn't assume any  
5 improvements to efficiency. But if the product  
6 was not compliant, like this blue dot, with the  
7 proposed standard, to calculate the energy  
8 savings, we went ahead and moved the dot to  
9 exactly compliant with the requirements. So we  
10 didn't take any -- it's kind of a conservative  
11 approach. We didn't assume that they would go  
12 beyond or do anything other than exactly meet the  
13 requirement. And so the energy savings that we  
14 calculated were coming out of these blue dots  
15 that we're moving down to the line and it was  
16 status quo for products that already met the  
17 standards. And what we did is, we calculated the  
18 average energy use kind of before and after these  
19 modifications were made.

20           For workstations and small-scale servers,  
21 we took a little bit of a different approach. We  
22 assumed that the workstations and small-scale  
23 servers are using kind of 80 PLUS baseline power  
24 supplies, and then we calculated the energy  
25 savings of moving that power supply from baseline

1 to Gold Level, and then we took the wattages that  
2 are reported in databases, such, as Energy Star  
3 and modified them by the percent-efficiency  
4 improvement from going to the Gold Power Supply.

5           So, for example, a workstation that may  
6 have reported an idle power of 180 watts, and  
7 then using a baseline power supply, would be  
8 adjusted to 165.5 watts by doing, you know, this  
9 calculation. So the basic 80 PLUS level is  
10 80-percent efficiency and then Gold is 87. So  
11 that's how we kind of converted the wattages of  
12 today's workstations to what they might be as a  
13 result of the standard.

14           So the results are summarized here in the  
15 table. We have the average energy use of a  
16 baseline computer, one -- and so those would be  
17 the dots that didn't meet the standard at the  
18 outset, and then the average use after they were  
19 moved to meet the standard. And we did lifecycle  
20 cost analysis and came up with \$69 of savings for  
21 desktops, \$2.30 for notebooks, small-scale  
22 servers we found a lifecycle cost savings of  
23 \$19.20, for workstations \$29.92.

24           So per unit, you can see that  
25 workstations -- per unit, you can see that

1 basically desktops have the largest incremental  
2 improvement. And then we also took a look at  
3 incremental costs, and the staff report goes into  
4 this as well. Those incremental costs are  
5 estimated here. The \$13 incremental cost  
6 estimates for small-scale servers and  
7 workstations mostly relates around the  
8 incremental costs from improving the power  
9 supply, and then for desktops and notebooks,  
10 these incremental costs are primarily focused on  
11 engineering and not part improvements.

12           In terms of statewide energy savings that  
13 could be reaped from the standard, again,  
14 desktops, by far, are the largest excepted energy  
15 savings from the proposed standards. The total  
16 is also fairly significant, 2,117.2 gigawatt  
17 hours per year. So there's a lot of energy  
18 savings to be gained from improving the annual  
19 energy consumption of computers.

20           In addition, all those energy savings  
21 translate to millions of dollars of savings to  
22 California businesses and consumers.

23 2,117 gigawatt hours per year translates to  
24 \$339.9 million per year in reduced electricity  
25 costs.



1           Also reducing electricity consumption is  
2 to lower greenhouse gas emissions because of  
3 reduced demand in power plants. And staff has  
4 estimated that the annual emissions will be  
5 reduced by a little bit over a half a million  
6 metric tons of CO2 equivalent per year.

7           So staff released this draft proposal.  
8 We're in a comment period right now. Those  
9 comments are due on May 15th. And once we  
10 receive those comments, we'll take them, we'll  
11 look at the issues, compare them to what our  
12 proposed standards are, and try to figure out the  
13 best pathway forward. We have a new eDocketing  
14 system. For those of you who submitted a  
15 presentation, you got a taste of what that system  
16 is. It's very easy to use. There's a link right  
17 here. It's on our rulemaking page, and,  
18 essentially, allows you to upload directly  
19 through the webpage your comments. And I believe  
20 it gives you feedback when those comments have  
21 been posted. It also directly posts those to the  
22 website, so it's a much faster and more  
23 convenient way than we've been previously doing  
24 in this process, in this proceeding.

25           You can also send your comments in by

1 mail. The address is here. I won't read it out  
2 loud, but the address is on the notice and it's  
3 also on our website. You can send it to the --  
4 just remember to include the docket number, which  
5 is, for this proceeding, 14-AAER-2. And we look  
6 forward to hearing your comments, and we will be  
7 working hard to incorporate your feedback into  
8 the next draft version of the standards.

9           So we're not going to go directly into  
10 open comments just yet because we have so many  
11 presentations to go through. So we're going to  
12 translate -- or transition to doing the  
13 stakeholder presentations. Save your questions  
14 on this presentation and any of these other  
15 presentations until we get through all those, and  
16 then we will have an opportunity then to revisit  
17 some of these items if you have any questions on  
18 this presentation.

19           So, with that, I'm going to move on to --  
20 I believe, Chris, you're up first. And then  
21 let's see here. Yeah, so you're just going to  
22 want to --

23           MR. RIDER: Want to use page down and  
24 page up here to get through them? These two  
25 here?

1 MR. HANKIN: So to move forward --

2 MR. RIDER: Yeah, page down to advance  
3 forward and page up to go back.

4 MR. HANKIN: Cool.

5 MR. RIDER: And if you have any problems,  
6 I'll hop back up here.

7 MR. HANKIN: This isn't me. Got it. I  
8 got it. Sorry. Sorry about that.

9 MR. HANKIN: Thank you.

10 Mr. Commissioner, thank you for holding  
11 this event.

12 I will be the first of five speakers on  
13 behalf of ITI and TechNet. I will be probably  
14 the briefest. I'll certainly be the least  
15 technical.

16 The great privilege that I've had since I  
17 joined ITI five years ago is to represent the  
18 most innovative companies in the world. The  
19 most -- the companies who are leading globally on  
20 energy productivity. The companies that, as  
21 ACEEE put it back in 2008 -- I'm going to  
22 actually read the quote, "Information and  
23 communication technologies have transformed our  
24 economy and our lives, but they have also  
25 revolutionized the relationship between economic

1 production and economic..." I'm sorry "...and  
2 energy production." That's a revolution that has  
3 continued since 2008. It will continue. It will  
4 probably accelerate as the Internet of Things  
5 enters into our lives. But it's not just what  
6 we're doing to the -- this revolution on the  
7 economy and the relationship to energy  
8 production, but it's also the performance and  
9 productivity of the products themselves. And  
10 this is a slide from Skip Laitner with ACEEE that  
11 he produced back in 2011. I hope you can read  
12 that bottom number, that represents our industry,  
13 it's a lot bigger than the other ones. I'm not  
14 sure where government would fit on here, but it's  
15 certainly our intent to help governments do  
16 better on their energy productivity. In fact,  
17 that's something we're trying to do for all our  
18 customers.

19           Our companies compete very vigorously on  
20 the performance of their products, the price of  
21 their products, and the energy efficiency of  
22 their products. I think -- this includes a  
23 partnership we've had with the U.S. Government,  
24 more specific, the USEPA, on the Energy Star  
25 program for over 20 years. It also includes

1 partnerships we've had with other governments  
2 globally. We would hope we can proceed in a  
3 similar spirit of cooperation and partnership  
4 with the California Energy Commission.

5 I noticed in one of the presentations  
6 that will follow the industry presentations,  
7 there was reference to market failures and an  
8 implication that our industry does not have a  
9 motivation to produce products that are energy  
10 efficient. That's an interesting comment. It's  
11 one actually that we looked at as an industry,  
12 with U.S. DOE and USEPA back in the early 1990s,  
13 how to create more of a market driver behind  
14 energy efficiency, and that's why Energy Star was  
15 created for our products. We were the  
16 original -- we were original partners in Energy  
17 Star. Actually, last week, we found an old Roll  
18 Call ad that we paid for back in, I think it was  
19 '93, with the start of Energy -- celebrating the  
20 start of Energy Star and this mutual effort  
21 between the U.S. Government and our industry to  
22 help drive energy efficiency in our products. I  
23 just want to make very clear that this is a  
24 longstanding commitment of our industry.

25 Now, on to the proposal before us. ITI

1 and TechNet have very serious concerns with the  
2 staff draft proposals. If promulgated, we fear  
3 they would risk doing damage to productivity and  
4 capabilities that we can offer our customers in  
5 California. This would include, not only all the  
6 consumers in California, but even more so, our  
7 corporate customers and especially those who  
8 demand high-end computers.

9           As the Commissioner said though in his  
10 opening comments, we're not in formal rulemaking,  
11 we're still in pre-rulemaking. There's time to  
12 try to address our concerns. We're committed to  
13 working with the CEC and other stakeholders on  
14 finding solutions. We can get this right. It  
15 isn't right right now.

16           The speakers who follow me will go into  
17 much deeper dives, but what you'll see in those  
18 is there's a deep disagreement right now between  
19 ourselves and CEC staff and other stakeholders on  
20 the data and the data analysis behind the --  
21 especially behind the technical feasibility and  
22 cost effectiveness of the proposals.

23           It's hard for us to see how we move  
24 forward constructively together unless those deep  
25 disagreements and divisions are addressed. And

1 so an offer that we make here today to discuss  
2 this with some of the representatives of the  
3 IOUs, is we would like to host a full-day meeting  
4 at an appropriate time -- we're thinking right  
5 now late May, early June -- and really do a deep  
6 dive into the data, the data analysis, and see if  
7 we can't address some of these divisions and find  
8 a good basis on which to move forward on our  
9 shared objective, which is a rulemaking in this  
10 space that is good for California.

11           As a side note, I also want to add, back  
12 in last year, we not only submitted proposals on  
13 computers and displays, we also submitted a  
14 supplemental proposal on intelligent efficiency.  
15 This is a quote from an ACEEE report from back in  
16 2013 as to the benefits that they see looming,  
17 I'd say the opportunities, that are there for us  
18 if we take advantage of intelligent efficiency.  
19 "We look forward to working with the California  
20 Energy Commission, other parts of the California  
21 Government, and other stakeholders on seeing if  
22 there aren't ways that we can work together in a  
23 nonregulatory manner as partners to promote and  
24 accelerate the benefits of intelligent  
25 efficiency."

1 Thank you.

2 MR. RIDER: All right. Next speaker, I  
3 think that's Mark; is that right? Yeah. Okay.

4 MR. HOLLENBECK: Thanks.

5 MR. RIDER: Page down to go through your  
6 report.

7 MR. HOLLENBECK: Oh, excellent. Thank  
8 you.

9 Hello. My name is Mark Hollenbeck. I'm  
10 with Hewlett Packard and am here representing  
11 industry. And I'm going to talk a little bit  
12 about the computer proposal and focus, following  
13 Chris' comments, on the customers that we provide  
14 these products to, the framework of the proposal,  
15 and the impacts of what we're seeing in the  
16 current draft of the regulations.

17 And this basically just covers the points  
18 that I'm going to cover. And I'm going to go  
19 ahead and move ahead. And I'm going to skip  
20 slides. I'll come back to that one in a minute.

21 As Chris was talking about, customers, we  
22 felt that that's the right place to start the  
23 discussion because there are a wide range of  
24 products that this industry serves with  
25 computers, and a lot of -- a range in the types



1 of customers that use them and the performance  
2 that we offer to customers.

3           Customer use profiles are one way to look  
4 at the products that we're offering to the  
5 market. And so if you look at the use profile  
6 starting at the left here, you would start with  
7 basic home users. These types of products and  
8 these customers are doing very basic things.  
9 They're accessing the Internet. They're doing  
10 basic productivity activities, which include  
11 drafting documents, writing e-mails, et cetera.  
12 But they don't require a computer with a lot of  
13 performance. And the cost is commensurate with  
14 that as well.

15           So, then, looking at another range of  
16 customers, you have customers that fit into both  
17 a mid-level office user and a home user. These  
18 customers are doing the same types of things that  
19 the basic users are doing, but they're doing  
20 additional things as well. They're sharing  
21 pictures, viewing movies, using basic  
22 productivity software and collaboration.

23           And then another higher level of both  
24 home and office users that are doing all of the  
25 basic user -type things, but they're doing some

1 significantly different activities in  
2 productivity. So they're not only viewing  
3 pictures and movies, but they're actually  
4 modifying them. And this requires more graphics  
5 computing power. They're using the basic  
6 productivity software, but they're also doing  
7 much more sophisticated activities as well, and  
8 that would be scientific and financial analysis,  
9 some modeling as well. All of that demands more  
10 computing power.

11           And then on the extreme upper right,  
12 you've got your extreme users. These are primary  
13 home users. They are primarily doing gaming  
14 activities. This is a market that is served  
15 mainly by advanced desktop computers.

16           Okay. So now I'm going to talk about the  
17 products that we offer to serve the broad range  
18 of customer needs. And you can see here that  
19 many of the products are the same, so you'll have  
20 your tablets and notebooks that are used by both  
21 home users but office users as well. You've got  
22 integrated desktops here that are used in both  
23 the home and office. You've got desktop  
24 computers as well that are used, and Ken talked  
25 about the percentages earlier about that. In the

1 business segment, or the commercial segment,  
2 there are a few products like desktop thin  
3 clients and then retail point-of-sale solutions  
4 that are unique to the business market. And then  
5 you get into some of your server-related products  
6 as well that are -- at least the large-scale  
7 servers that are industry product as well.

8           So in order to look at that and talk  
9 about it, you have to start looking at the  
10 numbers. And we've talked about the fact that  
11 there's two aspects of computers that make them  
12 different than water heaters and televisions.  
13 And that is, there is a wide range of models that  
14 are offered to the market, and then even more so,  
15 there are a large number of different  
16 configurations that customers have to choose  
17 from.

18           So, here, I'm just going to use an  
19 example that's from HP desktop computers because  
20 that's an area of concern that you'll see a  
21 little later. And what I've done is to give you  
22 some numbers that represent the number of  
23 different models that are offered and the number  
24 of configurations.

25           So looking at desktops, we've got -- for

1 the year 2015, we've got 25 different model  
2 families of computers. And model families are  
3 not just individual skews or individual  
4 configurations. Within consumer, we offer 20  
5 different model families of consumer desktop  
6 computers.

7           So the next thing you have to do when  
8 you're looking at the number of configurations  
9 that are in the market, is you look at the number  
10 of configurations. And what we've done here is,  
11 using the commercial as an example, we've looked  
12 at all the different hardware combinations that  
13 are available, which in this case are 117, and we  
14 also have 3 different operating systems that are  
15 available. And so that multiplies out to 351  
16 individual configurations. Similar, but more  
17 pronounced, on the consumer desktop side, you got  
18 143 different hardware configurations, but more  
19 operating systems, so you get 700. This comes  
20 up -- and that should read "total models." This  
21 comes up to a little over 1,000 unique models of  
22 computers that are offered. But that doesn't  
23 tell the whole story. Because within each model,  
24 you'll have hundreds of different hardware  
25 configurations that are available. And so if you

1 do that, you do the math here, you get just over  
2 55,000 unique configurations of desktop computers  
3 that we're offering to sale -- offering for sale  
4 in the market this year. And that's not unique  
5 to HP. This is pretty common amongst the large  
6 manufacturers, to offer that many unique  
7 configurations.

8           One thing I didn't do here, which would  
9 make this even exponentially greater, is I didn't  
10 include unique languages or keyboards. Because  
11 there are about 25 different languages that would  
12 basically multiply that number again. But that's  
13 an aspect of configuration that doesn't account  
14 for any differences in power consumption.

15           But the point to keep in mind here is  
16 that there are two things, there are a large  
17 number of models that are offered to the market,  
18 and a significantly greater number of individual  
19 configurations that are offered to the market to  
20 meet a very broad range of customer needs.

21           And this is just talking about the fact  
22 and giving an example of this 55,000  
23 configurations using the HP desktop computer as  
24 an example.

25           And this is the point, this is why this

1 is important, you may not have realized that  
2 there's not only a broad range in the types of  
3 models that we sell, but there are a  
4 significantly greater, an exponential number, of  
5 individual configurations that we offer for sale  
6 to the customers in both the consumer and the  
7 business segments.

8           And the reason we offer so many different  
9 configurations is -- and it's expensive to do  
10 that -- is to meet the broad range of customer  
11 needs. And along with the span of performance  
12 that these configurations offer, you're going to  
13 see a span of energy use as well.

14           Okay. So now I'm going to talk a little  
15 bit about the impacts that we're seeing as a  
16 result of the proposal. So I guess you'd say the  
17 good news is, and it is good, is that most of our  
18 mainstream notebooks can comply with the limits  
19 that have been proposed, as least as far as the  
20 base tech limits that have been proposed.

21           There is a problem with it, though, and  
22 this is typical of desktops as well, that  
23 high-end notebooks are not going to meet that  
24 requirement.

25           The greatest impact of what we're seeing

1 in the staff proposal as it's written right now  
2 is for desktop computers. And so somewhere  
3 around 60 percent of the consumer and commercial  
4 products that are on the market now would not  
5 meet those proposed limits. And so using the HP  
6 example of desktop computers, that would mean  
7 anywhere from 27,000 to 33,000 desktop computer  
8 configurations wouldn't meet the -- California's  
9 requirements that have been proposed.

10           And the problem with it is this impacts  
11 greatest in the area of performance. So for  
12 customers that require greater performance, the  
13 impact is going to be more substantial there than  
14 on the lower end of performance.

15           The other thing is that this is a major  
16 cost impact, and as you'll see later in some  
17 presentations that follow, it's pretty  
18 substantial. And where our computers could be  
19 redesigned to comply, we think it's a lot more  
20 than the commission is assuming. And, as I said,  
21 you'll see much more detail on that in the  
22 following slides.

23           Okay. There's a couple more impacts that  
24 we're seeing with the staff proposal. One is the  
25 power management proposal. And you would think

1 that, because it's based on Energy Star, you  
2 know, that wouldn't be a problem, but there's two  
3 problems with it.

4           First is the fact that some customers buy  
5 computers without a power managed operating  
6 system so that they can take the computer once  
7 they've bought it, boot it up one time, and  
8 install a customer software image. We wouldn't  
9 be able to sell customers a computer with a  
10 non-power-managed operating system under the  
11 current rulemaking, the way it's written now.

12           The second one is that there are some  
13 operating systems that are not traditional  
14 operating systems with a traditional sleep mode  
15 to get to a low power mode. Some operating  
16 systems are doing the power management  
17 dynamically in the idle modes. So those would  
18 also be illegal for sale in California.

19           And, finally, there is an impact, a cost  
20 impact, associated with requiring 80 PLUS Gold  
21 Power Supply Efficiency for workstations.

22           And while we do offer many configurations  
23 with 80 PLUS Power Supplies, customers currently  
24 have a choice. And I don't have a number totaled  
25 yet, but we'll give it to you in our written



1 comments to the staff proposal. There is a  
2 substantial impact of forcing everyone to order  
3 workstations with 80 PLUS Gold Power Supplies,  
4 and it's in the millions per year.

5           So here's a general concern that we have  
6 with the staff proposal, and that's the fact that  
7 it's really a one-size-fits-all approach to  
8 regulating the power consumption of computers.  
9 And I mentioned, the reason that this isn't  
10 harmonized with international standards that  
11 allow for that, and what I'm talking about here  
12 is the categorization you see in those standards,  
13 because it really prevent -- it puts you in a  
14 situation where you have to either specify a very  
15 one-size-fits-all high-tech base value so that  
16 you cannot impact high- performance products, or  
17 you set it low and then the net effect is many  
18 different configurations that are available for  
19 sale, particularly when a customer needs to do  
20 productive work, those are impacted. So that is  
21 a problem that we're hoping you would reconsider.

22           And in the next presentation by Shahid  
23 Sheikh with Intel, he'll get into the specifics  
24 of why that's important and why it impacts  
25 customers that have a need for more performance

1 than, say, a basic user.

2           The other concern that we have with the  
3 current staff proposal is the fact that it's very  
4 aggressive. It goes well beyond the Energy Star  
5 6.0 version specifications. And I'm sure that  
6 that's being done to futureproof it, but the net  
7 result here is that the Energy Star specification  
8 is an exclusive eco label. It's designed to  
9 target only the most efficient products on the  
10 market, and, here, this staff proposal goes well  
11 beyond that, and the net result is a significant  
12 number of configurations that are currently  
13 available and models are just simply not going to  
14 be available to customers in California.

15           And the point of that is, that this  
16 results in, not only significant risk and impact  
17 to the manufacturers, but the real concern here  
18 is that it's an impact and a risk to users of  
19 computers, particularly in the commercial space  
20 where people, they need computers with higher  
21 power, higher computing capability. And the  
22 thing that I'll mention here is that, the focus  
23 being on desktop computers is something that  
24 there is a market trend now where people are  
25 buying more and more laptops, but some customers

1 still require the flexibility and the expansion  
2 capability that desktops offer.

3           And, as I think Ken noted before, and  
4 you're certainly going to see in later  
5 presentations, the power consumption of all  
6 computers is coming down while the productivity  
7 is going up.

8           Thank you.

9           MR. SHEIKH: Good morning. My name is  
10 Shahid Sheikh. I'm from Intel Corporation, and I  
11 will go through the discussion on PC methodology  
12 and framework in the context of global standards  
13 and Energy Star to outline some of the concerns  
14 we have on the CEC methodology.

15           So we'll briefly go over the overview in  
16 global landscape, because we are a global  
17 industry, we design and build products for global  
18 industry, so global context becomes very  
19 important in terms of how the computers are  
20 designed and used in the marketplace.

21           So, then, specifically, we'll talk about  
22 the issue about not having any categories. And I  
23 can briefly touch upon this, but this is a very  
24 big deal for industry, not having categories for  
25 computers. And Mark also addressed thousands of

1 configurations that are, you know, essentially,  
2 sold for different categories of products.

3           And then we also going to talk about the  
4 target-setting approach and some of the departure  
5 from Energy Star framework, both categorization  
6 and target setting.

7           The reason I bring up Energy Star is  
8 because a lot of the, you know -- the CEC  
9 proposal is largely built on using some of the  
10 Energy Star definitions, targets, and adders --  
11 or not the targets, but more adder approach. So  
12 we'll address why that's a concern to us, and  
13 then summarize.

14           So if you look at comparing with Energy  
15 Star and CEC staff report, so you have alignment  
16 on the duty cycles, which is a mode waiting  
17 for -- in both case of Energy Star and CEC. TEC  
18 equation is aligned, which is IEC 62623 standard,  
19 which is good. And on the definitions, we are  
20 aligned. So that's good news that those are the  
21 key areas that we are aligned. But then the  
22 other impact areas that there is a significant  
23 departure is on the product categories.

24           So Energy Star -- and we'll talk about it  
25 on the next slide, has a wall in terms of looking

1 at the categories because computers evolve and  
2 the product -- you know, with the product  
3 evolution, there are several more categories. So  
4 with the new performance-score-based category  
5 system, you have six desktop all-in-one  
6 categories and six notebook categories. And  
7 right now, for CEC, they just have one category  
8 for all desktop all-in-ones and one category for  
9 all notebook PCs. And this creates a significant  
10 problem for the industry.

11           TEC targets, which is the standards,  
12 performance standards, Ken talked about, Energy  
13 Star is based on the top 25 percent in each  
14 category, the shipping product, and, you know,  
15 CEC is based on a cost effectiveness which is a  
16 lot more stringent than Energy Star version 6.1  
17 at this point. We'll talk about, that we don't  
18 fully understand all the rationale behind it as  
19 we get to the next level of discussions.

20           On the TEC adders, which is based on a  
21 measured and analytical approach for Energy Star,  
22 it is largely aligned with Energy Star version  
23 6.1, except there are no adders for this  
24 (indiscernible) graphic, which will be addressed  
25 later.

1           So our key concern is no PC product  
2 categories and more stringent TEC targets.

3           So why categorize? So the categories are  
4 used to group systems with similar capabilities  
5 together that allows a consumption, which is a  
6 TEC, which is a Typical Energy Consumption,  
7 comparison based on the capability. So you want  
8 to compare like products within the category so  
9 you don't have a one-size-fits-all approach.

10 Similar to a motor vehicle analogy, so tablet and  
11 slate, in this case, would be like a motorbike,  
12 which has a higher miles per gallon, and tablet  
13 would be like a 5 watt -- you know, 5 watt power.  
14 And, here, the mode is transportation use and  
15 computer use is for web browsing and consumption.

16 So if you look at a tablet/slate and then start  
17 looking at a motorbike analogy and looking at  
18 notebooks, which has a much higher -- which is a  
19 much lower miles per gallon than a motorcycle and  
20 it's a higher power and it has a different usage  
21 for content creation, and, similarly, for a car,  
22 the usage is much different than a motorbike.

23 And if you look at the high-end notebooks, it's  
24 compared to like a pickup truck, where you have a  
25 much lower miles per gallon, and a high-end

1 notebook has almost like a 25 watt power.

2           So, again, here, the uses are games,  
3 media creation, computational analysis.

4           So the analogy here is single-category  
5 approach for computers is like saying you're  
6 going to have a single miles per gallon for all  
7 vehicles in California, which we all know is not  
8 workable.

9           So let's look at the Energy Star  
10 evolution, because CEC proposal, to a large  
11 extent, looked at Energy Star model. So the  
12 Energy Star has evolved. If you look at back in  
13 2007 over to 2014, in the last seven to  
14 eight years, the number of categories, both in  
15 the desktops and notebooks, have grown. And why  
16 they have grown is because the product continues  
17 to evolve. The PCs are evolving. Okay. With  
18 all evolution, Energy Star has to keep up with a  
19 product evolution so that the like products are  
20 compared, so that you're not comparing one  
21 product with other which has very different  
22 capabilities. So anywhere -- you're looking at  
23 the desktop where there were three categories  
24 back in Version 4. They moved to four categories  
25 in Version 5, and you're looking at six

1 categories in Version 6.

2           You have a similar for notebooks, moving  
3 from two to three to six categories.

4           So the product, you know, PC product  
5 category evolution is key to Energy Star program  
6 success. And for a MEPS program, which is  
7 Minimum Energy Performance Standards, it's  
8 imperative to have categories as part of any  
9 California solution. Because, if you don't,  
10 then, essentially, you're going to set a target,  
11 as Mark mentioned, that either it will be too  
12 relaxed for the low-end categories, and will  
13 exclude products -- the high-end products on the  
14 market. If you set the target to high, then,  
15 essentially, which allows everything to pass. So  
16 we actually advocate setting appropriate targets  
17 within each category and defining those  
18 categories.

19           So if you look at the global landscape, I  
20 just wanted to bring it up here because that's  
21 important because that's how the products are  
22 designed today looking at the categories. And,  
23 you know, if you look at Energy Star Version 5.2  
24 categories, Europe, China, South Korea,  
25 Australia, India, Brazil, everything is pretty



1 much aligned to the Energy Star category  
2 approach. Okay? And when Energy Star 6.1  
3 started with six categories, right now the  
4 programs that are in the pipeline after that are  
5 California and Japan top runner. Japan has not  
6 decided on the categories yet; and, right now,  
7 CEC is a single-category approach that we have.

8           So the categories should reflect the PC  
9 segmentation and is critical to global  
10 harmonization.

11           So let's talk about the PC segmentation  
12 with a desktop example. So if you look at a  
13 desktop form factors, you know, this is something  
14 that we addressed earlier as well, you have  
15 everything from a computer stick on the low end,  
16 many PCs, portable all-in-ones, all-in-ones  
17 mainstream, and enthusiasts tower with all the  
18 different OSs and different applications.

19           So a computer stick being a pocketable  
20 mini PC, you know, essentially, a small and  
21 powerful, fits anywhere, and then going from  
22 portable all-in-one. And then enthusiasts tower,  
23 which is a gaming content creation, max  
24 performance, et cetera. So you have different  
25 form factors because there are different

1 applications and usages that are in the  
2 marketplace, that the customers demand.

3           So with those different usages, you have  
4 a different power profile. And here's a typical  
5 power, measured power, that we have from Intel in  
6 the lab. And this is an average of the measured  
7 power based on the shipping configurations. We  
8 looked at the sample size for different type of  
9 systems. As you can see that the TEC ranges  
10 widely because they have just different  
11 capabilities, and with those capabilities, you  
12 have much higher power demand.

13           So if you look at some of these discrete  
14 graphics by system, so we outline some of the  
15 most extreme graphics, G5 to G7, and the ones  
16 with the -- 1 to G5, these are the definitions  
17 per ECMA or Energy Star.

18           So, again, you can't just put a  
19 one-size-fits-all approach, because the market is  
20 not set up this way. You know, the way the  
21 products are sold in the market based on the  
22 customer demand, you just have different  
23 capabilities and different power profiles.

24           And we'll actually spend more time, as  
25 Chris was making an offer for an all-day

1 workshop, or deep dive, we can actually give you  
2 demos of products that are in these categories  
3 and that are shipping configurations in the  
4 market.

5           So let's talk about the target-setting  
6 approach. So the Energy Star targets are based  
7 on the top 25 percent of shipping systems. And,  
8 typically, the Energy Star Spectra vision is  
9 driven by the increased penetration rate and  
10 based on the product transformations. Typically,  
11 it's three to five years after effective dates.

12           CEC process, it appears to be based on a  
13 cost effectiveness and technical feasibility.  
14 They are, as Mark mentioned, more stringent than  
15 voluntary Energy Star, which is a typical --  
16 about 50 percent reduction in idle power for all  
17 desktops and all-in-one. And industry doesn't  
18 really have access to CEC database to evaluate  
19 and provide constructive input. We have the  
20 final numbers, but we don't have the bases behind  
21 those. We don't have the data behind those  
22 numbers. And this is something we really need to  
23 understand before we can respond.

24           CEC staff report references Energy Star  
25 Version 6, that one Qualified Products List, QPL,

1 and percent of the system that may meet CEC  
2 targets, and we have some analysis on that we'll  
3 show you.

4           And, again, Energy Star Qualified  
5 Products List is a limited data set only. Okay?  
6 Because it's based on the Energy Star qualified  
7 system, which, by design, is only looking at the  
8 top 25 percent systems in the marketplace. Okay.  
9 So this does not comprehend and reflect all of  
10 the shipping systems. California should be  
11 looking at all shipping systems, because you're  
12 looking at a MEPS approach, which is a Minimum  
13 Energy Performance Standards, not a voluntary  
14 best-in-class approach.

15           Okay. So let's go look at what the  
16 impact is just looking at the Qualified Products  
17 List from Energy Star database. So if you look  
18 at -- and this chart may need a little bit of  
19 understanding. So if you look at the red line  
20 here, this is the actual TEC, measured TEC, on  
21 the Qualified Products List from the lowest to  
22 the highest. And you can see, based on the  
23 categories, that it starts pretty low and goes up  
24 all the way. These are all Energy Star qualified  
25 products.

1           And the CEC -- so then we looked at the  
2 CEC targets for the same products and -- along  
3 with the adders, so you see all these squiggly  
4 lines is where the CEC targets would be, that  
5 includes the adders as well.

6           So of the total QPL, Qualified Products  
7 List, there are only 12 percent of the desktops  
8 passing CEC current targets, and 84 percent  
9 failing. And out of the failed systems -- and  
10 this is what Ken was looking at, the improvement  
11 made -- so the average fail systems would have to  
12 improve an average 40 percent TEC reductions  
13 required on failing systems to meet CEC targets  
14 for the desktops in the next two to three years.

15           So -- and this is just looking at Energy  
16 Star data, not looking at the non Energy Star,  
17 which is the majority of the systems shipping.  
18 So which means this, actually, the number would  
19 be much, much worse. And the reductions required  
20 would be much, much higher if you look at the non  
21 Energy Star system as well.

22           So a higher failure rate across all  
23 segments, expect even higher percent failure on  
24 all shipping systems, as I mentioned, and  
25 40 percent TEC reduction by 2018 on Energy Star

1 systems to comply with proposed targets.

2           And we need CEC data to validate cost  
3 effectiveness assumptions.

4           Similar thing on all-in-one, this is a  
5 picture for all-in-one systems, that the pass  
6 rate improves a little bit. 30 percent pass  
7 rate, 70 percent fail rate, on an average  
8 20 percent TEC reduction needed on the failing  
9 systems to meet CEC targets.

10           Again, this is only looking at the  
11 Qualified Products List, which is 20, 25 percent  
12 of all the shipments.

13           Okay. Notebook story is a little  
14 different. Here, again, one-size-fits-all  
15 approach allows a lot of the systems to pass,  
16 because notebooks are, as we mentioned, a lot  
17 more efficient. We have a 10 -- 90 percent pass  
18 rate and 10 percent fail rate. So here is the  
19 issue with setting up a one-size-fits-all  
20 approach is, that, you know, you have a lot of  
21 these systems passing and you don't have  
22 appropriate targets within each category because  
23 there are no categories defined for notebooks or  
24 desktops. So the key is to establish appropriate  
25 TEC targets within each category that we agree.

1 So, as a summary, industry does not have access  
2 to CEC data set to evaluate and provide  
3 constructive input. CEC assessments appear to be  
4 based on limited sample size and using  
5 best-in-class Energy Star Qualified Products  
6 List. The targets are more stringent than Energy  
7 Star Version 6.1. And establishing PC categories  
8 and setting appropriate targets within each  
9 category is key to success of PC energy  
10 efficiency program. So the one-size-fits-all  
11 approach does not reflect PC market segmentation  
12 in California. And CEC target setting and cost  
13 effectiveness criteria should be based on all  
14 shipping product, not just Energy Star Qualified  
15 Products List.

16 And on the cost effectiveness and  
17 technical assessment, really does not represent  
18 the ground realities, and we're going to get Gary  
19 Verdun coming up next to address some of that.

20 Thank you.

21 MR. VERDUN: All right. So my name is  
22 Gary Verdun with Dell here, representing ITI.

23 I'm going to try to address technological  
24 feasibility and cost effectiveness, to some  
25 extent. And I really only have time here in this

1 show, the presentation, to touch on highlights.  
2 If we look at it from an overall standpoint, I  
3 see -- based upon the information we got from the  
4 CEC, I see the savings and cost effective  
5 analysis we've been provided in a draft report,  
6 to a large extent, is based upon non-public  
7 calculations, because we haven't seen what was  
8 used to actually get to where they set the  
9 limits.

10           Looking at that and some of the  
11 consultant data work, there's a bunch of false  
12 assumptions and misunderstandings about PC  
13 industry economics, power management of PCs, and,  
14 actually, proper test methodology. And I'll  
15 touch on some of these a little bit further, and,  
16 again, there's a lot more detail we don't have  
17 time to get into, and that's one of the reasons  
18 we're offering this later deep technical dive.

19           So just reiterating, so the methodology  
20 you get from the IOU studies that they reference  
21 within the documents over to their limits, we  
22 just -- we don't know how they got there. And we  
23 would certainly like to see more information so  
24 we can understand because, based upon our  
25 analysis, we'd -- you know, we don't see how you



1 get there.

2           There seems to be a few trends. It seems  
3 that the percentage gains they've been able to  
4 determine on WERS systems have been applied to an  
5 energy stored database where, you know, I can go  
6 get a system that doesn't have the three legs  
7 that they based their desktops, which I have most  
8 of my focus, because that's the one that seems to  
9 be more severely impacted by these proposals.  
10 But if you take a desktop and you (inaudible) a  
11 high-efficiency power supply, you add low-energy  
12 hard drives and lower-power processors, which  
13 are -- everybody has to understand, are  
14 performance restricted, so as you drop DDP on  
15 processors, you get less work capability. But if  
16 you take the percentage gain from taking a system  
17 that does not have those three and then apply to  
18 the Energy Star database and the Energy Star  
19 database, two of those three have already been  
20 implemented in our requirement. So you can't --  
21 it's double-dipping. You don't get to get that  
22 gain twice, because you can only implement the  
23 feature once. That covers both of those.

24           The other major concern is that there's  
25 absolutely no provision made for end user

1 performance features. So the only desktop  
2 systems that I saw that got anywhere close to the  
3 limits they're proposing from a desktop  
4 standpoint, does not have key security features  
5 that our business customers require. TPM, vPro,  
6 a feature offered by Intel, when you add those  
7 features to a box, you add hardware, and you had  
8 software running on the platform, and that  
9 provides security features for business  
10 customers. And it is rather essential for their  
11 businesses that they have those features. And we  
12 have no kinds of adders for it, so, it's, again,  
13 a least-common-denominator kind of scenario and  
14 it doesn't appropriately look at things needed  
15 for performance.

16           And so I'll spend a second here and talk  
17 that there's a lot of discussion, even earlier,  
18 about energy efficiency. Everybody needs to  
19 understand that this is not at all in any way,  
20 shape, or form an energy efficiency regulation.  
21 This is an energy consumption reduction. There's  
22 no such thing as efficiency here because  
23 absolutely no work is considered.

24           And our concern with this kind of  
25 aggressive regulation here that focuses on idle

1 and less is, it's the equivalent of saying all  
2 internal combustion vehicles in California shall  
3 have a -- shall implement an engine that has the  
4 same or less fuel consumption in neutral as a  
5 moped, because absolutely no work is considered  
6 whatsoever. And these products are there for our  
7 customers to do work with them.

8           So we'll go into a couple of particular  
9 issues on the data set that I was able to  
10 evaluate. So the supplemental technical report  
11 provided by the -- to the CEC on cost estimate  
12 issues, particularly in desktops, there really is  
13 absolutely no correlation that has been  
14 established between the measurements made in  
15 those tests and the way PCs actually operate in  
16 end users' hands. One of the fundamental issues  
17 there is, they took these systems and they put a  
18 new software image on it. Now, manufacturers  
19 that make energy efficiency improvements in a  
20 system that they ship to end users in the  
21 business, customers have two places that they can  
22 do optimizations in the platform. You can do it  
23 in the operating system bits that you put on the  
24 hard drive, and you can do it in the drivers that  
25 exist that also go on the hard drive. So as soon

1 as they take that system and they put a fresh  
2 image, they've completely eliminated any OEM  
3 enhancements that exist in the platform.

4           And I can tell you that Dell systems ship  
5 with those enhancements, and I should know  
6 because I created them.

7           Now, it makes a fundamental issue with  
8 creating such an aggressive regulation when you  
9 don't know the correlation between the data set  
10 you're using to establish limits and what systems  
11 are in actual customers' hands. And, right now,  
12 from the information we've been provided, we have  
13 no idea what that correlation is, because that  
14 simple act of putting a new image on it changed  
15 the systems, and it was never established how  
16 that relates to the way the customers [sic] wind  
17 up in the end users' hands.

18           The other one is, in particular, the  
19 first thing they do when they take the system is  
20 they measure the baseline, which is the --  
21 representative of the OEM shipped product. And  
22 they say they look at the idle power until it  
23 becomes stable. And this is another one of those  
24 cases with not understanding the systems, because  
25 when you do a fresh install, if "dot net" is part

1 of the installation from Microsoft, particularly  
2 you're doing a Microsoft OS, you get a  
3 significant amount of work that's a deferred  
4 compilation of "dot net." So when they install  
5 the "dot net," they don't want it to take  
6 forever, so they confer a compiling. And it has  
7 to compile based upon the hardware and  
8 applications that exist on the platform. The  
9 first time the system goes idle for an extended  
10 period, they kick off this deferred compilation  
11 and those compiles start running.

12           I've seen high-performance notebooks  
13 where it's 20 to 40 minutes that it runs. But if  
14 you're only looking at AC power and you're  
15 looking at just for stable, you'd be surprised  
16 how stable they get the processor. The processor  
17 is at 10 percent utilization constant. And if  
18 you look at AC power, it's very stable and it  
19 looks like idle. It's not.

20           So we're just concerned -- another case  
21 where we really don't know if the data that's out  
22 there and that this is being based off of is  
23 actually accurate. Because what we've been able  
24 to see in the descriptions doesn't properly get a  
25 unit to where you can get actually real auto

1 power measurements.

2           Let's see where we're at.

3           Ability to achieve power levels on  
4 components swapped on one or two machines,  
5 there's several issues.

6           The first thing is the sample size is  
7 completely insignificant. And there's a couple  
8 of other fundamental problems with saying that,  
9 because I can find pieces out there and build one  
10 of these, that anybody could possibly do it in  
11 production.

12           Another fundamental issue was assuming  
13 that desktops can go implement portable features  
14 at the same cost point. That's not how the  
15 business model works within the industry. First  
16 thing is, to a large extent, desktop parts,  
17 processors, and chips, that either don't have the  
18 same power management features as notebooks or  
19 they haven't been validated or it's actual  
20 silicon that has failed to meet the stringent  
21 efficiency -- I don't want to say "efficiency" --  
22 the stringent energy limitations of actual  
23 notebook products. You remove that silicon from  
24 the market, what you're left with is going to  
25 cost a lot more, and it's going to be a lot more

1 than \$2.

2           The whole low power performance, back to  
3 the other analogy, if you completely don't look  
4 at the work that's being done on a product, then  
5 everything goes to the least common denominator  
6 and it's a system that has minimal performance.  
7 For our business customers, they pay for  
8 performance in these PCs, that's how they achieve  
9 productivity for end users. And if we take it  
10 away from them, they lose productivity and it  
11 costs them money. That's why they pay up for  
12 business performance kind of products.

13           And I also mentioned, you know, their  
14 percent reductions calculations, Energy Star  
15 already has two of the three legs that this  
16 percentage gain that they're being -- that's  
17 being proposed actually relies upon.

18           We have another -- this is one I want to  
19 point out, this whole PSC rightsizing. And so  
20 some of what was done here was reducing the size  
21 of the power supply. And that can be done to  
22 some extent, the problem is, as a manufacturer, I  
23 have to size a power supply so my customers can  
24 do what they want to do with it, upgrade it as  
25 required, and whatever they do to that product in

1 their own modifications -- and many customers do  
2 that, particularly when they take computers and  
3 they put them on manufacturing lines, or, you  
4 know, running manufacturing lines or other kinds  
5 of applications like this where they have to do  
6 adders, they do their own customer design  
7 cards -- if I don't give them power allocations  
8 for those things, that are adequate, sometime  
9 during -- that product's going to fail  
10 prematurely and bring down a production line  
11 somewhere or bring down a chemical plant.

12           So, particularly, when you get into the  
13 business products, for end users, performance  
14 means they wait a little longer. And sometimes,  
15 for them, that's completely inadequate. For  
16 business customers, it's essential to the  
17 operation of their businesses. And that's why we  
18 size things the way they are. And you can't go  
19 so I can size it because I can run an idle test  
20 and it doesn't fall apart. It has to give them  
21 their enhancement capabilities they put into it,  
22 and it's got to run in their test environment  
23 because, as you get hotter or you run on a  
24 factory floor somewhere, you have to run fans  
25 higher, all these power levels go up, and they're



1 completely different than just a pure idle test.

2           So we look at the costs that are provided  
3 here of \$2 to achieve \$69 reduction in energy  
4 efficiency. A big part of that assumes that you  
5 can -- back to our power supply thing -- that I  
6 can basically downsize the power supply and can  
7 find a cheap one somewhere and it's not really  
8 much of a cost adder. That's certainly not true  
9 for anybody who is trying to do it in high  
10 production.

11           When I tried to dig through the analysis  
12 and see what's there, that there was this --  
13 there's a model set up for what the power supply  
14 costs, adders would be for going between  
15 different efficiencies, but does -- you know, I  
16 found a problem with that because it assumes that  
17 there's -- basically that we buy the parts. So  
18 the reality in PSUs going into PCs for us in  
19 production is, the guy who builds the power  
20 supply buys parts, and as you increase  
21 efficiency, he gets more expensive parts, he has  
22 to do more extensive testing, and he has a higher  
23 fallout. And then to those additional costs that  
24 he has, he has to have his own mark-up. Then it  
25 provides it to the OEM, or ODM, whoever actually

1 builds the platform, and, of course, they add  
2 their mark-up, what's added. So that model does  
3 not meet the reality of the industry.

4           Here's another fundamental problem here  
5 is, ITI, the members of ITI, have actually gone  
6 and took our actual costs in buying PSUs at  
7 different size ranges, provided it to ITI, and IT  
8 has taken that data and blinded it, because we  
9 actually can't talk cost between manufacturers  
10 because that would violate any Trust Rules in the  
11 U.S., that data was provided to the CEC, and as  
12 best we can tell, there was 100 percent weighting  
13 to this incorrect, invalidated PSU model and a  
14 0 percent weighting to the actual cost data  
15 industry provided.

16           One of the other areas I found in the  
17 analysis is, component costing models are  
18 projecting reduced price deltas. And when we get  
19 into hard drives, that's particularly erroneous  
20 from a -- if you look -- they're referencing the  
21 cost per megabyte of storage in a hard drive and  
22 presuming that we would follow that trend and it  
23 would result in cost reductions. But if you look  
24 at the trend in hard drives, that's not how it  
25 works. You get a hard drive, and it's a \$50 cost

1 on a hard drive. And over time, the capacity of  
2 that \$50 hard drive goes up. As the storage  
3 capabilities -- you know, when I get a -- and I'm  
4 going to get a 500 gigabyte drive for 50 bucks  
5 where I used to get a 250 gigabyte drive, you  
6 know, that's twice the -- a 2X improvement in  
7 cost per gigabyte, but the drive did not get half  
8 price. So the costing model that assumes that  
9 the drives get cheaper based upon that is  
10 completely erroneous, because that's not how it  
11 works in reality. And that's a part of how  
12 this -- well, we assume that's a part of how this  
13 \$2 cost adder came up and how it was justified.

14           So let's talk a minute here about what's  
15 been done. Now, part of the issue we see here is  
16 there's some changes in the way you cost and you  
17 calculate annual energy consumption. And I  
18 actually have three different methods here. This  
19 is data on -- since 2005 of our mainstream Dell  
20 business desktop. Went back -- this is our  
21 actual data. We don't usually make this public,  
22 but this is it. And I've taken [sic] our  
23 mainstream high-volume system that we ship the  
24 most of to our customers and this typical  
25 configuration they buy. A couple of other things

1 to note -- let me get a cursor up here -- is  
2 every system since 2007 has high efficiency power  
3 supplies, every system since 2006, has processor  
4 P-states and C-states enabled. Two of the three  
5 legs the CEC says we can make these improvements  
6 on, it's been there, and it's on every one of  
7 these systems. The other one is, every one of  
8 these systems ship with power management enabled,  
9 and well over half our customers leave that  
10 enabled and don't turn it off.

11           And I can tell you, from dealing with  
12 issues with consumers, that the majority of  
13 consumers out there don't know enough to turn it  
14 off and it probably stays on.

15           One of the things, if you take and  
16 project this curve out -- and I showed to 2018 --  
17 but it actually has to be 2017, because we have  
18 to build the systems before January 1st -- that  
19 this is beyond the historical trend on energy  
20 efficiency improvement. And you also see this  
21 curve is flattening out and you see great big  
22 gains like -- so here's power supply efficiency.  
23 All these systems in here are built with gold.  
24 These are gold PSUs on -- in these last  
25 three generations. In particular, this I3,

1 I5s, P-states, C-states enabled, with Dell  
2 enhancements to make them even less energy  
3 consumption at idle, and Gold power supplies. So  
4 for these platforms, based upon the analysis  
5 we've been provided, the only leg we get to pull  
6 is more efficient hard drives. Other than that,  
7 these systems can't meet the limits. Well,  
8 there's actually two. We could put mobile  
9 processors and chipsets, and I'll touch on that.

10           The other one is, this blue line is using  
11 a Dell energy calculator model. For that  
12 particular model, we actually use work. We  
13 assume the system spends -- the user spends  
14 seven hours a day running SYSmark, which is way  
15 more performance than a typical user, and  
16 one hour a day running a 3DMark to represent  
17 another big unit of work. Eight hours a day of  
18 activity. We have a morning, afternoon break,  
19 and a lunch, and we do 250 workdays a year. And  
20 you can see, using that model, we're basically  
21 there now. So if you power manage a desktop  
22 today, you achieve what is being assumed that we  
23 can gain with all of these changes to the  
24 platform.

25           And then the red line on here is the TEC

1 limit we would be required to meet.

2           Oh, one other thing is, so we've had  
3 about an 80 percent reduction since 2005 and a  
4 2.6 times the performance. And this is the trend  
5 the industry is on. And this was done not  
6 because of regulations, this is done because of  
7 customer demand. Customers wanted to cut their  
8 energy bills and they continue to want  
9 performance.

10           Back to our comment about the least  
11 common denominator and, you know, energy-  
12 consumption-of-a-moped scenario, in order to make  
13 much more aggressive energy reduction trends, we  
14 have to give up performance. And performance is  
15 the thing that replaces the replacement cycle for  
16 the end users. If you knew PCs don't perform any  
17 better than the old ones, they'll just keep the  
18 old ones. So you would actually retard the  
19 addition of more efficient products into the  
20 market if you get -- don't allow for performance  
21 enhancements.

22           So there's several discussions -- I  
23 talked about that PC are mainstream desktop --  
24 excuse me. So we already said we had two to  
25 three legs already in there. So the only lever

1 we get to pull -- well, there's two, but we'll  
2 address one of them now. The lever we get to  
3 pull is high-efficiency hard drives. This is a  
4 comparison to a notebook. So if you look at the  
5 idle power adder, if we use a standard hard  
6 drive, we get 1.91 watts above a notebook at idle  
7 based upon the TEC analysis and the time we spend  
8 in the different states. Not a hard calculation.  
9 We can provide much more detail in a technical  
10 session.

11           If I get a high-efficiency drive, I get  
12 only three-and-a-half watt adders. But here's  
13 the real problem: For those customers that  
14 require performance, you know, once I put a  
15 performance drive on there, that is an 8 watt  
16 idle instead of a 5 watt idle and gives them  
17 higher performance and higher capacity, then I  
18 have to build the rest of the system with  
19 notebook parts. The notebook parts don't meet  
20 their performance requirements. It is impossible  
21 at these limits to build performance platforms.  
22 So my customers that need performance to run  
23 their businesses are inordinately negatively  
24 affected by the limits, the way they're set now,  
25 and, in particular, without having categories,

1 doing a single category for everything. When you  
2 do a single category, that's what you do, is you  
3 basically punish people who need performance.

4           This is looking at another option for the  
5 same kind of platform if you need capacity. So  
6 one of the things that was referenced in the  
7 study is you get, you know, two-and-a-half-inch  
8 drives. They're -- you know, they're cost  
9 effective. In a certain range, they are actually  
10 cost effective, but that's as long as you don't  
11 need capacity. If you have one of these systems  
12 that I happen to have a business system and I  
13 need three, four, five, or six terabytes of  
14 storage, with those drives, my only option is  
15 multiple drives. And if I happen to need five or  
16 six terabytes, it's going to cost me 160 bucks  
17 more in two-and-a-half-inch drives than it would  
18 in a standard three-and-a-half-inch drive.

19           And, then, so this is just looking -- and  
20 this is all based upon the lowest price I could  
21 find on amazon.com for all the hard drives that  
22 the primary hard drive manufacturers list for  
23 these different products. So price isn't going  
24 to get a whole lot lower.

25           It's another case that, if you need high



1 capacity, under this regulation, it's going to  
2 cost you somewhere between \$50 to \$150 per box to  
3 get it.

4           So back to our mainstream business  
5 desktop that customers buy. I have the high-  
6 efficiency power supply, I have I3, I5 processors  
7 with -- with the states enabled. I happen to  
8 have a TPM in it for security, because customers  
9 need it. I can't get there with the hard drive,  
10 so my only option is to go to a mobile chipset.  
11 If I go to a mobile chipset, what I've looked --  
12 this is the minimum price, average price, and max  
13 price of I5 and I3 processors and chipsets on the  
14 Intel website, and it shows that for an I3, the  
15 best I can do is around an \$85, \$90 cost adder to  
16 move to mobile parts. And then if I'm at I5, I  
17 get lucky and it's maybe only \$40 a box. And  
18 these are the only options we have.

19           I've spent time with our architects,  
20 talking about what we could potentially do on  
21 these business systems in this time frame, and  
22 it's the only levers we have to pull. We don't  
23 get to get to design new silicon in this time  
24 frame. If I go from Gold to Platinum, it buys me  
25 1 percent, and doesn't get me 40 percent. So

1 we -- at this time, we have no line of sight,  
2 other than pulling these levers, and they're  
3 significant cost adders.

4           So we touched a little bit on power  
5 management. And I know this is extensive, but  
6 I've taken our current mainstream business  
7 desktop again and I've got the actual  
8 measurements, and it's not actually one. I took  
9 an average of our I3, I5s on it with our  
10 features, then I went off and calculated what our  
11 long and short idle power levels would be  
12 required in order to hit the new limit. And, in  
13 particular, what we're looking at here is my  
14 corporate customers that already power management  
15 [sic]. The fact is, we going to make these  
16 changes for them, what is their gain? And we  
17 know that's 60 percent or more of the business  
18 customers that are here, and probably well over  
19 60 percent of consumers, because they don't know  
20 enough to turn off power management, more than  
21 likely. What is the gain? Because the analysis  
22 used so far, all assumes that this 35 percent of  
23 the time in short idle -- and there's actually a  
24 problem with the current definition as was stated  
25 here earlier, because short idle in the Energy

1 Star specification is a proxy for both work and  
2 these idle periods. And the definition provided  
3 here earlier, it said it was the five minutes of  
4 user inactivity. Well, if that's correct, then  
5 users -- let's see what is the number -- then  
6 users 101 times a day walk from their systems  
7 365 days a year to achieve the short idle limits.

8           Short idle is actually long in the Energy  
9 Star spec and it has gotten longer than 6.1, but  
10 it uses a proxy for both active and idle. So  
11 it's not all that.

12           And then the other one is, with long and  
13 short idle, the short idle actually indicates, to  
14 a large extent, user presence. And the way  
15 it's -- the 35 percent, the way it's set up now,  
16 assumes that -- effectively, that users would  
17 spend 8.2 hours a day, 365 days a year in front  
18 of the screen on every PC they have. And the  
19 reason it's that long is the proxy for active.  
20 And then we'll just send it --

21           Time? This is it. I'm right done.

22           So this is just saying, whatever those  
23 cost adders for my business customers that do  
24 power manage, and we've been providing them power  
25 managed systems for many years, if you go through

1 that analysis, if they happen to power  
2 management, those changes are going to gain them  
3 about \$2.33 over the life of the product in  
4 energy savings. That the majority of it can be  
5 done from power management. And if you actually  
6 looked at the installed bases systems in  
7 California, for zero cost, if everybody power  
8 managed those products, that would be  
9 705 gigawatt hours per year and it could starts  
10 tomorrow. You don't have to wait three years and  
11 then some number of years for us to get more  
12 efficient products into the stream.

13           And so this is just about two messages:  
14 The people who already power manage, the business  
15 customers that can't get performance, won't get  
16 the savings that's being projected, a significant  
17 part of the end users won't, and then of the  
18 installed base, much of the gain that's being  
19 claimed here can actually be -- happen beginning  
20 tomorrow.

21           And that's it. I know I went a little  
22 over time. Sorry about that.

23           MS. SADOWY: Yeah. Good morning. My  
24 name is Donna Sadowy, I work for AMD, and I'll be  
25 sharing remarks this morning about high-

1 performance computers on behalf of ITI and  
2 TechNet.

3           So what exactly are we talking about when  
4 we refer to high-performance computers? Today,  
5 what we're seeing is many of the components that  
6 we find in workstations are being pulled into  
7 desktop computers, you know, whether it's  
8 processors or high-performance graphics. The  
9 customers want features like customization;  
10 perhaps enhanced security; durability;  
11 expandability; the ability perhaps to extend  
12 life, especially on the desktop; enhanced  
13 management features; the ability to use with the  
14 largest displays, you know, the really great 5K  
15 displays that are being put on the market.

16           Sometimes, you know, the people want to  
17 use these computers with pro-level software  
18 applications. There's often a desire to use the  
19 computers for digital content creation. It could  
20 be game playing, digital editing. But something  
21 interesting that we were seeing also is that in  
22 notebooks, as we have driven down, battery power  
23 down, we see more and more interest in that  
24 population as well in adding, you know, these  
25 types of high-performance features to notebooks.

1           Okay. So who do we know use these types  
2 of computers? It's certainly, you know,  
3 California consumers. It's, you know, our  
4 population of students. It could -- parents  
5 that, you know, want that extra performance  
6 available in their homes to, you know, do  
7 productivity or to be there for entertainment,  
8 certainly California gamers.

9           Among the commercial side, a big user in  
10 the entertainment industry, which, you know, is  
11 an important industry for our state. Engineers  
12 want these higher levels of performance, whether  
13 it's Silicon Valley or other places. Industries  
14 like aerospace defense, smaller businesses,  
15 including things like medical offices where image  
16 quality is very important, and throughput, you  
17 know, the shorter time that you can share, you  
18 know, high-quality image is important for a  
19 hospital or for a doctor. We're seeing the UC  
20 system. You know, when we talked to researchers  
21 that are doing cancer research or, you know, even  
22 looking at things like climate change, I mean,  
23 they want these computers and often they want --  
24 they see discrete graphics as an important part  
25 of the computers that they do want.

1           So, also, we're starting to look new  
2 technologies, new capabilities, like machine  
3 learning. We're seeing great use by start-ups,  
4 by, you know, the innovators in California,  
5 biotech industry, other industries. So this is  
6 the people that want, you know, these higher  
7 levels of performance.

8           Okay. In regards to the staff report, we  
9 do have concerns with the recommendations. While  
10 a lot of focus has been on, you know, identifying  
11 the impact on the average across the platforms,  
12 when we look at a desktop with discrete graphics,  
13 with the highest performance discrete graphics,  
14 we're actually talking about using -- designing  
15 these computers to use 77 percent less energy  
16 than the computers that are in the Energy Star  
17 database, which is a best-in-class. So this is a  
18 pretty dramatic, you know, need for redesign that  
19 we're looking at for these higher -- you know,  
20 the higher performance type of computers.

21           And, as my colleagues have mentioned,  
22 Energy Star computers are, you know, the  
23 best-in-class. So they don't represent the  
24 greater market where, you know, there's even more  
25 of a challenge to be attaining these very

1 aggressive power reduction levels.

2           The schedule, you know, is aggressive as  
3 well. When we look at having products on the  
4 market in 2018, planning is going to occur in  
5 2016 and 2017. So we -- as my colleagues have  
6 also mentioned, you know, there's issues around  
7 the cost effectiveness analysis, the data. You  
8 know, we're -- there's certainly a great desire  
9 to understand the staff report and to, you know,  
10 work with CEC going forward to make sure that  
11 we -- what comes out at the end, that we get this  
12 as right as possible.

13           So I won't go into this in detail. Gary  
14 Verdun just went through a lot of this  
15 information. But there are costs associated with  
16 doing things like moving to mobile computers,  
17 moving to higher efficiency power supplies. So  
18 looking at our numbers, we see a great delta  
19 between our numbers and the numbers in the staff  
20 report. So, again, hopefully, we can work  
21 collaboratively with CEC and all the stakeholders  
22 to address this type of issue.

23           Okay. As far as performance PCs, if we  
24 use the Energy Star categorization and say, you  
25 know, I2, I3, D1, D2 PCs, and Energy Star, as



1 other people have mentioned, on desktops is a big  
2 concern, I mean, even just looking at Energy Star  
3 computers, we're seeing pass rates of 3 to  
4 12 percent. So there's -- there's a whole other  
5 set of computers that aren't Energy Star, which  
6 creates additional concern. For integrated  
7 desktops, we see less of an impact. But, still,  
8 on some of these form factors, on passage rates,  
9 just looking at Energy Star is as low as  
10 19 percent.

11           On notebooks, notebooks look fairly good  
12 when we look at the Energy Star data, but there's  
13 still this subset of computers that aren't  
14 meeting and, you know, with the desire to add  
15 more performance going forward, we think this is  
16 definitely something to look at as we go forward.

17           Okay. In regards to computer gaming,  
18 this staff report did note that casual video  
19 gamers in an October 14th report from Steam  
20 graphics users, that integrated graphics made up  
21 around 18.7 percent of the systems, that use was  
22 increasing from past usage. So, again, I'm --  
23 this is saying that 80 percent of users in this  
24 profile are using discrete graphics. And when we  
25 look at the PC gaming market and we break it down

1 into the different classes, you know, enthusiasts  
2 versus performance versus mainstream, by far the  
3 biggest number of users are the enthusiasts  
4 class, with a smaller performance -- I'm sorry,  
5 the biggest number of users are in the mainstream  
6 class, with a smaller percent of users in the  
7 performance and enthusiasts class.

8           But when we look at the interests of  
9 these consumers in, you know, buying hardware or  
10 buying, you know, audio systems or other  
11 accessories to support their interest in gaming,  
12 the majority of the spending is, you know, in  
13 this very small enthusiasts class. So that  
14 there's, you know, a higher -- or, you know,  
15 equal amount of interest in, you know, enabling  
16 their ability to do gaming even though, you know,  
17 the mainstream gamer is by far the great majority  
18 of the market.

19           Some of the issues we hope will be  
20 considered are issues like this where because of  
21 things like throughput, if operations can be  
22 completed more quickly with high-performance,  
23 components, there is potential to save a lot of  
24 time in performing the operation, which is a  
25 consumer performance issue. And then there's

1 also the opportunity to save energy.

2           So it would be great if this was black  
3 and white, but this is, I think, just one example  
4 of, you know, where there's some complexity to  
5 this whole issue going forward that we'd like to  
6 explore more.

7           Okay. In regards to discrete GPUs, there  
8 is definite interest in the staff report in  
9 addressing these specific components. They're  
10 used in a wide variety of applications, from  
11 multimedia, productivity, simulation. For people  
12 like gamers, there's a dedicated class of gamers  
13 that perceive performance improvements through  
14 the use of discrete graphics.

15           In regards to GPU power in short idle,  
16 you know, that it is affected by the fact that it  
17 is rendering a screen. It's, you know,  
18 rendering -- it's actively engaged in doing that.  
19 There's RAM on the discrete graphics that's  
20 consuming power. So there are reasons why the --  
21 you know, there needs to be some short idle power  
22 consumption by discrete graphics.

23           I think the graphics manufacturers have a  
24 long history of, you know, making efforts to  
25 improve energy efficiency, active and idle power,

1 and that that desire continues as we go forward.  
2 But we feel very strongly that this regulation  
3 should not move forward in a way that it would  
4 potentially hurt California businesses or  
5 consumers because of, you know, removal of  
6 discrete graphics or other high-performance  
7 components from the California market.

8           So, in conclusion, we understand the  
9 drivers behind the CEC proposal. We understand,  
10 you know, the imperatives of climate change and  
11 taking action to address it. At the same time,  
12 performance PCs offer valuable functionality to  
13 the California market. I think we've talked in  
14 some detail about the concerns that we have with  
15 the staff report. You know, one size doesn't fit  
16 all, and that's especially true for these higher  
17 performance computers. Some level of energy  
18 allowance is needed for discrete graphics.

19           So, Ken, I notice in your slides you  
20 talked about low power consumption, and we agree,  
21 that's the right goal, not necessarily zero, but  
22 low is a good goal.

23           We are concerned that many performance  
24 PCs and components will be removed from the  
25 market. We do want to work with CEC going

1 forward on analysis, data collection, additional  
2 discussion. We all share common goals. We all  
3 believe consumer choice is good, competition is  
4 good. California is the engine for innovation  
5 and creativity that's, you know, respected by the  
6 world. And, again, our goal is to work going  
7 forward with CEC and the other stakeholders to  
8 achieve these common goals.

9           So thank you.

10           MR. RIDER: Yeah. And I actually missed  
11 a point on my slide on the graphics card. You're  
12 meant to add that, you know, we really are  
13 looking for additional feedback on the graphics  
14 card adders. As mentioned in the staff report,  
15 we didn't propose any adders whatsoever, but a  
16 lot of that was from the very large adders in  
17 like the EEU and other places, and then being  
18 very out of sync with some of where the  
19 technology is now. And so we didn't have enough  
20 on the record to kind of establish what that new  
21 level would be, so we really look forward to  
22 further discussion and feedback in the process.

23           And, with that -- let's see here --  
24 there's yours.

25           MR. COOPER: My name is Mark Cooper. I'm

1 with the Consumer Federation of America.

2           And I guess some people have made some  
3 references to what we put into the comments  
4 already. And so what I'm going to do is I'm  
5 going to dispense with all of my slides but one  
6 and walk through an argument I made actually here  
7 about a little over a year ago, where I presented  
8 a paper, the title of which was Energy Efficiency  
9 Performance Standards Driving Consumer Energy  
10 Savings in California. And, today, I want to  
11 explain why we think computers are an ideal place  
12 to start with performance standards and why the  
13 staff has moved in the right direction.

14           I think California is, in fact, once  
15 again leading the nation, and it's really  
16 important, that we need energy leadership in this  
17 country.

18           First, we believe that there are consumer  
19 pocketbook savings here. We believe the staff  
20 numbers and the cost-benefit ratios are really  
21 very good. And so we actually do believe that.  
22 And that's where we always start, from the  
23 consumer pocketbook.

24           Second, I think the potential energy  
25 savings are large. We've looked at the record to

1 date, that was put in the proceeding before, and  
2 we think there are substantial savings to be had  
3 at a beneficial cost.

4           Third, and this is important, the energy  
5 consumption of these devices are what economists  
6 call "shrouded attributes." They're hidden in a  
7 bundle of technologies that the manufacturer  
8 selects and puts together. The electricity  
9 consumption is buried in a monthly bill. The  
10 consumer doesn't see it. They can't know exactly  
11 how much they're spending on it. It's not like  
12 gasoline prices, which are posted on every street  
13 corner, and they see every time they fill their  
14 cars up. It's a very different kind of product.  
15 It's shrouded. It's hidden.

16           And, actually, a number of mentions were  
17 made of automobiles and the auto industry, where  
18 we actually have had a remarkably successful  
19 performance standard in the product that the  
20 automakers will tell you is pretty darn complex,  
21 too. And they've actually managed to live with  
22 it, and they've supported the effort to double  
23 the fuel economy of their vehicles over the next  
24 15 years. And that's where we hope the computer  
25 would end up, on the right side of history.

1           So if manufacturers really care about the  
2 energy consumption, they fix it. They've shown  
3 us that in mobile devices. It's a tremendous  
4 success. But because consumers, they don't feel  
5 the same market pressure on plugged-in things,  
6 they don't do as well.

7           We believe performance standards work  
8 because they command but they do not control.  
9 They're not telling which technologies need to go  
10 in. They're saying, Here is a standard, you  
11 figure out how to do it. And they unleash the  
12 technology. They unleash the corporations, the  
13 manufacturers, to figure out the best way to do  
14 it. And you heard some of that today. Different  
15 corporations have different product lines, they  
16 have different skill sets, and they will each  
17 figure out the best way to get to that  
18 performance standard. It's technology neutral.  
19 It's pro-competitive. It creates a certain  
20 market certainty, because it now tells you that  
21 you're not going to be undercut by your  
22 competitors who are selling cheap, inefficient  
23 crap. Right? We take it out of the marketplace.  
24 We say, You can't sell that kind of stuff. And  
25 that, we think, creates a market certainty around



1 driving technology into the marketplace.

2           And I'll have more to say on that when I  
3 turn to some of the comments I have heard.

4           Now, let's see. Okay. So, finally, we  
5 always hear from manufacturers, the industry,  
6 that the world will end if you do this. And you  
7 heard an awful lot of that today. History shows  
8 that the projection of costs -- and these are  
9 dozens of studies -- offered by the industry  
10 compared to what it actually costs is a fraction  
11 of what they said in the first place. A  
12 fraction. Why is that? That is because they are  
13 good capitalists. And I love to say I am a  
14 devout capitalist. When you tell them, Here is  
15 your target, they go to work meeting it in the  
16 least cost manner possible.

17           You were told today that all of these  
18 products will be banned from the marketplace.  
19 No, they won't. The manufacturers will go to  
20 work and figure out how to meet the consumer  
21 needs in the lowest cost possible. Will the  
22 price go up? Yeah, a little bit. But this  
23 repeatedly shows, historically, dozens of times  
24 that when you adopt a standard, it doesn't cost  
25 nearly as much as the industry said in advance.

1 And, actually, that process started here in  
2 California 35 years ago when they told me  
3 refrigerators were going to be ruined by these  
4 standards. And for 35 years, refrigerators,  
5 they've gotten better and more -- less costly and  
6 more fuel efficient. The marketplace really  
7 works. And we need to have more faith in it.

8           So let me suggest a number of ways that I  
9 think we need to be careful about taking that --  
10 listening to that knee-jerk reaction.

11           First of all, there's no doubt that  
12 there's a significant number of products out  
13 there that meet the standard. So that tells me  
14 that this is not about driving -- creating new  
15 technology, this is off-the-shelf stuff. The  
16 challenge here is to move it into the mainstream.  
17 We haven't gotten over the edge, as some  
18 commissions might be -- want to do.

19           Second of all, it's quite clear that  
20 consumers certainly should operate their devices  
21 as efficiently as they possibly can. We tell  
22 consumers to tune their cars and fill their  
23 tires, but that doesn't mean they should drive  
24 gas guzzlers. They will get the benefit of  
25 having a more fuel efficient vehicle if -- and if

1 they also operate it correctly. The same thing  
2 would be true about a computer.

3           Clearly, there's a dramatic difference  
4 between labels and standards. They do different  
5 things. I have fuel economy labels on cars and  
6 fuel economy standards for vehicles. And you  
7 know what? They have different purposes. And  
8 the current standards will double the fuel  
9 economy of vehicles over a 15-year period, and  
10 the labels are trying to catch up and make sure  
11 they get it right.

12           But the interesting thing about the data  
13 you saw on labels, like Energy Star, it's a  
14 labeling program, it has failed miserably, I've  
15 been told today, because most of the stuff out  
16 there has not risen to Energy Star. The idea,  
17 when you put out a label, is you hope that people  
18 will have to compete so that they can make the  
19 claim and then they want to pull themselves up.

20           Well, I'm a decade or more into this  
21 program, and you've told me over and over again  
22 that there's all this crap out there. We need to  
23 address that market failure.

24           Now, as I said, the manufacturers worry a  
25 lot about cost, and then once the standard is

1 passed, they do their job and they get it done at  
2 the least cost possible. I think the same thing  
3 will happen with functionality. They will work  
4 their butts off to make sure they deliver the  
5 functionality that their customers want and meet  
6 the standards. That's the way the process works.

7           So I believe that all those statements  
8 about the -- these products will disappear, well,  
9 the ones that don't meet the standards will  
10 disappear, and more fuel efficient or energy  
11 efficient standards will come into existence.

12           And, finally, I really do -- and I've  
13 been doing this a lot lately -- I want to finish  
14 with the role of California and efficiency  
15 standards and -- in the auto market.

16 Fifteen years ago when California stood its  
17 ground and looked the auto industry in the eye  
18 and said, We need a lot cleaner vehicles in our  
19 state, and they said, We need something like a  
20 hybrid. And the auto manufacturers absolutely --  
21 I'll get you a pageful of quotes exactly like you  
22 heard today -- This is the end of the world. It  
23 won't happen. Fifteen years later, the hybrid  
24 has gone from being a niche product to the  
25 best-in-class for the consumer. Every auto

1 manufacturer in the world who serves mass market  
2 Americans has a hybrid for every kind of car they  
3 want. Fifteen years of revolution that the auto  
4 industry said was absolutely impossible.

5 Frankly, if the California Energy  
6 Commission can aspire to do that with these  
7 standards, that would be a tremendous feather in  
8 its cap.

9 Thank you.

10 MR. RIDER: Thank you.

11 Next up we've got the California IOUs.

12 MR. TSAN: Good morning. My name is Bach  
13 Tsan. I'm from Southern California Edison, and  
14 I'll be speaking on behalf of the Statewide Code  
15 and Standards Team that consists of  
16 Southern California Edison, Pacific Gas and  
17 Electric, San Diego Gas and Electric, and  
18 Southern California Gas, also known as the  
19 California Investor-Owned Utilities, or IOUs for  
20 short.

21 Thank you for the opportunity of  
22 commenting today.

23 Thank you, Energy Commission staff and  
24 Commissioner McAllister for your efforts  
25 regarding the computer standards, as well as the

1 other Phase 1 topics. We commend the California  
2 Energy Commission for their continued leadership  
3 and vision on these consumer electronics topics.  
4 Standards are one of the most cost effective  
5 methods for the State to meet its energy and  
6 climate policy goals for Assembly Bill 32, C and  
7 E goals set forth by the California Long-Term  
8 Energy Efficiency Strategic Plan.

9           The roles of computers in this society is  
10 undeniable, but most energy consumption from  
11 computers is when they're idle and not being  
12 used. They're are demonstrated cost effective  
13 hardware and software solutions to reduce this  
14 waste. We are supportive of the CEC's proposal  
15 that will lead the nation in energy efficiency  
16 standards for computers. In addition, we also  
17 see several areas where additional energy savings  
18 could be realized. We will highlight several  
19 opportunities for additional savings in this  
20 presentation today. We'll also provide  
21 additional information in our written comments.  
22 We'll highlight areas where I believe the code  
23 language can be refined and to provide greater  
24 clarity in the marketplace.

25           I would like to introduce our

1 consultants, Nate DeWard of Energy Solutions, and  
2 Peter May-Ostendorp of Xergy, who provided expert  
3 technical assistance during our code and  
4 standards enhancement projects and their  
5 real-world adjustment factor addendum. The  
6 Investor-Owned Utilities will be submitting these  
7 comments to the docket and look forward to  
8 collaborating with the CEC and the industry on  
9 enhancing savings opportunities for computers.

10 MR. DeWard: Thanks, Bach.

11 So one area of improvement we see for the  
12 CEC proposal and analysis is just the estimate of  
13 energy use and savings potential from standards,  
14 supported most recently by the results from the  
15 testing that the IOUs conducted.

16 For example, here's a notebook, a Lenovo  
17 ThinkPad, selected and tested under the baseline  
18 Energy Star test method. And what this test  
19 method doesn't account for is the real-world  
20 conditions of computer use. For example, it  
21 doesn't account for when a user, for example, has  
22 a few windows open, such as, Word or reading a  
23 webpage, and not even actively using the keyboard  
24 or mouse. So the conditions not only -- they  
25 don't account for the peripherals, such as,

1 docking stations, printers, or a separate  
2 connected strand in the case of this notebook.

3           So having tested a number of desktops and  
4 notebooks under these real-world conditions, or  
5 scenarios for real-world conditions, we see a  
6 considerable increase relative to Energy Star  
7 estimated TEC. The range here is a result of  
8 power scalability, of the form factors, but,  
9 nevertheless, these numbers are significant. And  
10 one additional important consideration is, these  
11 numbers don't account for any revision to the  
12 duty cycle. So accounting for a more realistic  
13 user profile, especially in the commercial  
14 sector, and in gaming computers, as we've heard  
15 about, these values increase to up to 40 percent  
16 for desktops as well.

17           The duty cycle used by Energy Star, which  
18 is what the CEC is proposing to use well, relies  
19 on only two out of a significant, large  
20 collection of studies. And so we continue to  
21 recommend that the CEC look further at these  
22 studies.

23           We've skipped over here. I pressed the N  
24 button instead of the page-down button.

25           UNIDENTIFIED MALE SPEAKER: Cycle



1 backwards.

2 MR. DEWARD: Cycle backwards.

3 UNIDENTIFIED MALE SPEAKER:

4 (Indiscernible).

5 MR. DEWARD: All right. Great. Thanks.

6 UNIDENTIFIED MALE SPEAKER: Hey, you're  
7 not going to use my slide.

8 MR. DEWARD: If you give me permission, I  
9 will.

10 All right. So apology about that. Here  
11 we go. So for the Lenovo ThinkPad, the energy  
12 consumption is more realistically around 34  
13 kilowatt hours per year, nearly all occurring  
14 when the user is not actively engaging with the  
15 product. So we recommend that the CEC use this  
16 real-world adjustment factor and a revised duty  
17 cycle to more accurately reflect the actual cost  
18 effectiveness and aggregate savings from the  
19 measure and re-examine what the IOU submitted to  
20 the docket.

21 And a final note, just for clarification,  
22 we want to make it clear that we think that the  
23 proposed use of the Energy Star test procedure is  
24 sufficient. And, in other words, we are not  
25 proposing any changes to how computers are tested

1 for compliance and reporting purposes, only for  
2 the analysis for cost effectiveness and statewide  
3 savings.

4           So here's another -- a point about where  
5 we think there's room for improvement, for  
6 notebooks, in particular, for the proposed  
7 standards levels, we are supportive but think  
8 that the notebook standard levels could go  
9 further. From our thorough review of products  
10 available online, retailers, here's just one  
11 example demonstrating this point. Here are two  
12 products, equivalent Energy Star Category, I2;  
13 and key attributes, system performance, weight,  
14 screen size, and the operating system. And the  
15 one on the left meets the proposed standard  
16 levels at a price of roughly \$500. The one on  
17 the right, roughly the same price, improves about  
18 a third -- with a third less energy consumed.

19           So, in other words, two units provide the  
20 same level of functionality, yet one is more  
21 efficient with no incremental cost to the  
22 consumer. And, again, these are just a few -- or  
23 this is one example, and we'll be conducting a  
24 more comprehensive analysis of prices and  
25 configurations and plan to submit these in

1 writing.

2           And now I'll hand it over to Pete.

3

4           MR. MAY-OSTENDORP: Thanks, Nate.

5           So another area where the IOU team has  
6 been examining the staff's proposal has been with  
7 the functional adders that are included, and  
8 we're going to touch on just a few of those here,  
9 obviously, supporting those further in writing.

10           We're using examples -- these apply to  
11 both desktops and notebooks, but we're going to  
12 use mostly desktop examples. And kind of a  
13 common theme throughout these adders is -- as  
14 with a large person, the standard is, you know,  
15 making an argument for where we need to be in  
16 2018 based on data that we have available today.  
17 And so that kind of forecasting is a theme for  
18 looking at these adders for us. Let's see.

19           So, first up, the secondary storage  
20 adder, the CEC staff has proposed a 26 kilowatt  
21 hour per year adder for secondary storage. This  
22 is, of course, based on Energy Star Version 6.  
23 And what we've tried to show here using a public  
24 data set, is that basically  
25 three-and-a-half-inch -- the standard

1 three-and-a-half-inch drives used in desktops  
2 today can actually meet that secondary storage  
3 adder in fairly large numbers, number one.  
4 Number two is that if you move to the  
5 two-and-a-half inch and solid-state technologies,  
6 they can actually clear that adder fairly easily.  
7 And then, of course, if you think about the fact  
8 that this is an adder for secondary storage, it's  
9 not the primary drive that's required for --  
10 that's hosting your operating system, we feel  
11 that there may be opportunities for more  
12 aggressive power management and those secondary  
13 drives. And so we'll be examining the overall  
14 stringency of that adder in further detail for  
15 the written comments.

16           Second piece, another example of an adder  
17 where we're kind of looking to the future is  
18 memory. The staff proposal includes an adder of  
19 0.8 kilowatt hours per year per gigabyte of  
20 installed physical memory on a system. Now that  
21 adder, again, comes from Energy Star Version 6,  
22 and it's based on a data set that was collected  
23 in the 2010, 2012 time frame.

24           Well, in that time frame, and since,  
25 DDR2, and more recently DDR3, memory technology

1 has dominated in desktops. And what we see  
2 coming for the 2018 standard is DDR4 memory,  
3 which brings with it additional significant power  
4 benefits, up to 40 percent power savings, and  
5 deeper power management device states that will  
6 be enabled on that. So we'll be examining, what  
7 would the adder look like in a world that's  
8 dominated by DDR4 memory technology and what  
9 might be an appropriate level there.

10 Another important piece that we've been  
11 looking at and we've been hearing about a lot  
12 today are graphic adders for discrete GPUs,  
13 specifically. This is something that the IOUs  
14 have been examining for a number of years, partly  
15 in collaboration with NRDC and CLASP. And there  
16 are a few things that we've been looking at with  
17 regard to the current proposal. Number one is  
18 that you can see that this is a combined data set  
19 that goes back to a 2011 project, and you can see  
20 with each successive data set that we've  
21 collected, 2011, 2012, and now 2014, the most  
22 recent, we're seeing the trend for the  
23 incremental power requirements of a discrete  
24 graphics card drop pretty precipitously, to the  
25 point that, you know, for some of these higher

1 performance cards, we're seeing something like a  
2 50 percent drop over the course of just three or  
3 four years. We are conducting ongoing research  
4 in 2015 to get the very latest technologies into  
5 the data set.

6           There's kind of another piece that's been  
7 going on at the same time as we've been  
8 conducting this research, is that integrated  
9 graphics products have been becoming  
10 significantly more capable at basically providing  
11 some of the same capabilities as a G1 or a G3  
12 card, but with no significant power increase.  
13 These are products that are integrated right into  
14 the CPU itself. So it kind of calls into  
15 question, Do we really need to worry about this  
16 area down here, when integrated graphics is  
17 handling that pretty capably.

18           And then, of course, you heard reference  
19 to hybrid graphics before. That's a technology  
20 that is widely used in notebooks and allows for  
21 powering down of the graphics card in idle modes  
22 altogether.

23           So we're examining those kind of three  
24 trends in support of what the CEC has proposed  
25 for graphics adders.

1           And I'll turn it back over to Nate.

2           MR. DEWARD: Thanks, Pete.

3           So I just want to emphasize the point  
4 that we see opportunities for savings and are  
5 emphasizing those savings -- when the computer is  
6 not working, it's in idle states -- and also just  
7 that future progress -- you know, Y standards,  
8 future progress is not guaranteed. For example,  
9 in the late 2000s, we saw power-hogging graphics  
10 responsible for a bump in idle mode and power  
11 management, you know, it wasn't active, as well  
12 as the potential for emerging always on modes.  
13 And so we want to make sure that that -- even  
14 though there has been progress, we want to make  
15 sure that we're not continuing to see energy  
16 consumption increase.

17           And then an important part is, in terms  
18 of the sales of these products and the  
19 availability of them and the consumption overall,  
20 we still see that sales are significant, even for  
21 desktops, and especially notebooks as those  
22 continue to be popular.

23           So those are our comments. Thank you.

24           MR. RIDER: Thanks.

25           Next up is NRDC. Okay. Pierre.

1 MR. DELFORGE: Okay. Good morning.

2 Pierre Delforge, NRDC.

3 I would like to start by thanking the  
4 Commission for pursuing computer efficiency and  
5 for hosting this workshop today.

6 I would like to focus most of my comments  
7 on the feasibility of the Commission's proposed  
8 levels; but, first off, I'd like to remind  
9 ourselves why it's -- this is a key opportunity  
10 for savings and why NRDC has this as one of our  
11 key priorities in terms of appliance efficiency.

12 As we saw early on, computers and  
13 monitors and displays today in California are  
14 responsible per the Commission's estimate about 8  
15 billion kilowatt hours of energy consumption  
16 today. We actually think that's actually a low  
17 estimate. EIN numbers put them at about 12  
18 billion kilowatt hours. And neither of these  
19 estimates actually include the, you know,  
20 real-world use and real-world duty cycle that the  
21 IOUs mentioned early on. So we could be looking  
22 at a lot more, both energy consumption and a lot  
23 more savings that we are accounting for.

24 And, you know, to put in terms of, you  
25 know, energy carbon and dollars, you know, this



1 is a very significant both use and saving  
2 opportunity.

3           It's not only a large use, but -- and  
4 that's what I'm going to cover today -- it's a  
5 large opportunity for saving and using existing  
6 technology. Not talking about, you know, future  
7 theoretical potential here. And we're going to  
8 demonstrate both in my presentation and in the  
9 next presentation a demonstration how this can be  
10 done with current technology.

11           First thing I'd like to put computer  
12 consumption in perspective. If you look at --  
13 these are the four main -- no -- four of the key  
14 form factors that you have on the market today.  
15 And if you compare a notebook with a desktop, a  
16 desktop is about three to four times the same  
17 energy consumption as a notebook. And the  
18 notebook itself, although it's a mobile and  
19 relatively efficient product in general, is also  
20 5 to 10 times more than tablet. Both are  
21 computing products. And, in this chart, they all  
22 in idle mode, meaning they don't have any work to  
23 do, they are -- basically, the comparison that  
24 Gary used with the car, they are the traffic  
25 light. And, you know, they're not going

1 anywhere. There's no work to do. So there's  
2 really no reason why they should be using that  
3 much more energy.

4           You know, I drive an eleven-year-old  
5 Honda, and it -- at every stoplight, it stops the  
6 engine. And, you know, whether you drive a gas  
7 guzzler, a Hummer, or a sedan, you can switch the  
8 engine off when you're at the traffic light and  
9 you can restart instantly. And you don't have to  
10 do that yourself. The car is able to do this  
11 today. It's been able to do this for a long  
12 time. I think it's time for the computer  
13 industry, that it's the same thing, when you're  
14 in idle, you don't need to have your idle on,  
15 especially long idle, but even in short idle, you  
16 can power it down to a large extent.

17           The industry has done a great job of  
18 bringing -- innovating and bringing new  
19 technologies which are capable of much lower  
20 power than it was required just a few years ago.  
21 When the current Energy Star Program Version 6  
22 was being developed between 2010 and 2012 and  
23 adopted in 2013, same time for the EU to one  
24 standard for computers.

25           The data that was used was computers and

1 the market between 2010 and 2012. That's three  
2 to five years from now -- three to five years  
3 ago. And we're looking at a standard three years  
4 from now. So, basically, there's a gap of six to  
5 eight years between the data that's used for  
6 current standards and labels and when we're  
7 looking at the standard to be available. That's,  
8 you know, several generations in terms of  
9 computer technology.

10           And if you look at what's available  
11 today, we have -- that wasn't available then, we  
12 have, you know, low power processor states, you  
13 know, C-67, the other ones that Ken mentioned, we  
14 have motherboards that have deep power management  
15 that can switch off in active or disable in  
16 active, you know, components and controllers and  
17 others. We have the PCIE low power sub-states.  
18 We have graphics switching or hybrid graphics  
19 that are now available on desktops. And so the  
20 power supply technology has evolved as we've seen  
21 early on. And we also have this -- and I'll get  
22 more into this later -- this deep power  
23 management. I'm not talking about, you know, the  
24 Energy Star SEPI 50 minute power management. I'm  
25 talking about the realtime power management that

1 mobile and tablet devices do when you push -- you  
2 know, when you switch the button, or even if  
3 you're not doing anything with them, they go to a  
4 sleep state right away. It's millisecond-level  
5 power management. It's not, you know, 15-minute  
6 in power management. And, you know, Apple has a  
7 word for this, you know, "keystroke sleep." If  
8 we implemented this on more computers, we'd  
9 have -- you know, we'd be able to meet these  
10 levels without any problems.

11           So to demonstrate this, we looked -- we  
12 partnered with Aggios, who's going to show the  
13 demonstration. So I don't want to steal their  
14 thunder, I'm just going to give a quick intro  
15 what the results are. So the -- this chart shows  
16 two computers. On the left, you have a consumer  
17 computer, and we were using an MSI board, which  
18 is a motherboard with deep power management  
19 capabilities. And, on the right, you have a  
20 standard commercial desktop. We did two things,  
21 you know, on each computer. First, we  
22 implemented the low -- the deep power management  
23 on the motherboard in BIOS and other operating  
24 system settings. And you can see on the left,  
25 the difference between the blue and the red bar,

1 shows that we were able to reduce nearly by half  
2 the power consumption of the computer just by  
3 implementing -- by enabling the technology that's  
4 already available in the computer that wasn't  
5 being activated as the computer was sold -- as  
6 the components were sold.

7           And, then, we implementing a better power  
8 supply and not, you know, not a very high-end,  
9 very expensive power supply, just an 80 PLUS  
10 power supply, we were able to reduce the power  
11 consumption by 61 percent, and to go lower than  
12 the proposed levels by the CEC.

13           On the commercial computer, that's an  
14 off-the-shelf computer. We were able to do, you  
15 know, the same thing. And, there, the major  
16 reduction comes from the power supply. I was  
17 actually shocked to see that this computer, which  
18 is a commercial computer, mainstream, had a  
19 55 percent efficient power supply in idle mode.  
20 So nearly half of the energy consumption of this  
21 computer goes into the power supply without  
22 reaching the motherboard. And this is ten years  
23 after we started the 80 PLUS voluntary program.  
24 This is maybe 20 years after the start of Energy  
25 Star. And we're still seeing, you know,

1 55 percent efficient power supplies in the  
2 market. I think this is a clear sign that, as  
3 Mark mentioned, labeling and voluntary programs,  
4 while they are necessary and useful, they're not  
5 sufficient. You know, to transform the market,  
6 we need both standards and voluntary program.  
7 And there's no, I think, better proof of that  
8 than this 55 percent efficient power supply.

9 I would like to mention that these two  
10 strategies are -- the first one is just software,  
11 so zero cost, you know. Well, the cost is just  
12 engineering, which is spread over millions of  
13 units. The second one is an inexpensive power  
14 supply, so it's not something that is going to  
15 add significant cost. And so both -- you know,  
16 just these two strategies -- and we're not saying  
17 these are the only two, they're just two simple  
18 strategies -- very cost effective and have no  
19 impact on latency for wake-up or performance. So  
20 that's with desktops.

21 We looked at integrated desktops, so  
22 desktops with the screen, like the iMac and the  
23 HP L81. So these are computers available today.  
24 The iMac is at 73 kilowatt hours annually. The  
25 HP notebook -- and these are comparable in terms

1 of performance and specs, you know, same-size  
2 screens, similar processor speed, memory, et  
3 cetera -- it's a little bit -- about 30 to  
4 40 percent higher, but both are lower than the  
5 CEC proposed limits by about 10 percent for the  
6 HP model, because they have slightly different  
7 adders so the HP model should be compared with  
8 125 limit for CEC, and the iMac should be  
9 compared with 100 limit for the CEC level.

10           So out of the box, without any  
11 optimization, these two mainstream desktops,  
12 integrated desktops, are able to meet the limits.

13           And Energy Star, you know, not even  
14 talking about this because they're more than  
15 three times as high as what these computers  
16 really need.

17           And the difference is even more dramatic  
18 for notebooks. So we're looking at one of the  
19 most efficient notebooks on the market. But this  
20 is a high performance, or relatively high  
21 performance, notebook. It's got, you know, 8  
22 gigs -- or one model even have 16 gigs of RAM.  
23 It has an I5, co-I5 processor. It's a  
24 high-performance display, 4 megapixels. And  
25 it's -- the energy consumption is 15 kilowatt

1 hours annually, which is less -- well, less than  
2 a quarter of the CEC proposed limits.

3           The next model that we looked at, the  
4 Dell Latitude, is nearly three times as much, but  
5 still about 20 percent lower than CEC's limit.

6           So, you know, I think here we are looking  
7 at, if we keep the standards, the levels as  
8 proposed, this is going to be a non-standards by  
9 2018. It's not going to save any energy. And I  
10 think it's important that -- you know, we  
11 encourage the Commission to revisit the proposal  
12 to take into account the technology that's  
13 available today and not the one that was, you  
14 know, there three to five years ago. This is  
15 using the latest that -- the Apple product uses  
16 the latest Broadwell chip. It's idling at 4  
17 watts in short idle and 1.4 watt in long idle.

18           I mean, this really shows that we have  
19 the technology available today to meet much lower  
20 and much more aggressive limits than the one  
21 proposed.

22           So how does the Apple product achieve  
23 this? I want to -- you know, I talked about  
24 realtime power management early on, so this --  
25 Apple has a nice graphic on their website on how



1 to do this. I mean, this is basically managing  
2 the power of the computer just like they do on a  
3 mobile phone or tablet today. You know, it's  
4 software power management at the millisecond  
5 level, making sure that -- you know, this chart  
6 here shows the power use and the processor  
7 activity between each keystroke. So when you  
8 type on the keyboard, between each keystroke,  
9 they put the computer to very low power mode.  
10 And this is available today using Intel and AMD  
11 technology. It just needs to be implemented and  
12 activated. And when you do, you can reach  
13 extremely low levels of power, as we've shown in  
14 these examples.

15           So, in summary, we support the -- and we  
16 believe that the CEC proposal is technically  
17 feasible today at very minimal cost. We don't  
18 need, you know, two-and-a-half-inch drives or SSD  
19 drives on computers. We don't need mobile parts  
20 on desktop computers. We can achieve it with  
21 deep power management and reasonably efficient  
22 power supplies.

23           We think that the Commission's proposal,  
24 the enhancements that we suggest on integrated  
25 desktops and notebooks, can address a large

1 saving opportunity without any impact on  
2 performance because those are just addressing  
3 idle mode, and also that this is a  
4 performance-based standard. It doesn't prescribe  
5 how to do (indiscernible). A large number of  
6 technology is available today to achieve these  
7 standards.

8           This being said, we recognize the  
9 consensus by industry about, you know, maybe  
10 niche products and markets. And, you know, we're  
11 open and committed to trying to find solutions  
12 that will work for all while achieving these  
13 levels of savings.

14           Thank you.

15           MR. RIDER: So this brings us to --  
16 sorry, excuse me -- Aggios. I'm actually going  
17 to pass off presenter rights.

18           (Pause.)

19           MR. RIDER: And I suppose just to keep  
20 these flowing, while we're waiting for this to  
21 go, I just want to remind everybody about the  
22 blue cards. If you already know that you're  
23 going to want to make a comment once we get  
24 through this last presentation, go ahead and fill  
25 out one of these blue cards here and we'll go

1 straight to these as soon as we get through this  
2 final presentation.

3 MR. ZIVOJNOVIC: Hello. I'm from the  
4 company Aggios. And Aggios is a California  
5 start-up. Our technology is in software defined  
6 power management. This is the layers of software  
7 which sit on top of the hardware, and basically  
8 most of devices are responsible for the best  
9 power management performance we can get.

10 MR. RIDER: Can you try to speak more  
11 directly into the microphone, please.

12 MR. ZIVOJNOVIC: Yup, will do.

13 MR. RIDER: Thanks.

14 MR. ZIVOJNOVIC: So these layers interact  
15 both with the hardware and the operating system.  
16 And this is where our passion is. Why we are  
17 here is to continue to support the CEC's energy  
18 efficiency activities. We started doing that in  
19 2013 on a couple of different projects among  
20 other (indiscernible) box devices.

21 We are also strong believers in mobile  
22 efficiency. The original team comes from  
23 companies Qualcomm and ARM. These are the  
24 leaders in power management for mobile devices.

25 And I'm also here to increase the

1 awareness of the new Eee PC Infinity 415 standard  
2 for energy proportional computing, which has  
3 gathered a large number of corporations, their  
4 technical experts, to advance the innovation and  
5 the alignment of the industry when it comes to  
6 energy issues.

7           Today, the presenter of the demo will be  
8 Mr. Davorin Mista. He's our VP of Engineering.  
9 And my name is Vojin Zivojnovic, and I'm the CEO  
10 of Aggios.

11           We think that, from the old days when we  
12 started putting these transistors together, we  
13 were very focused on functionality and we wanted  
14 to see the performance. And, yes, this is our  
15 legacy. That's how we built all these wonderful  
16 industry we all enjoy to be part of and to be  
17 users of. And then, gradually, we shifted to  
18 performance, from performance to efficiency. And  
19 this is a long way to go, as this slide -- which  
20 I refer to Professor Rabaey; he's the Chairman of  
21 our Technology Advisory Board -- shows the nature  
22 is ahead of us. Nature still design systems  
23 which perfectly hunt in maximum performance, but  
24 even better sleep when they need recuperate and  
25 be ready for a new hunt.

1           What is behind the power and the power  
2 consumption and the whole deal about power  
3 management? It's really not rocket science. It  
4 is the fact that the software has a couple of  
5 buttons on the left side, you see here, these are  
6 the operating modes, the frequency, and the  
7 voltage, it tunes these power meters and, in this  
8 way, impacts the operation, the clock frequency  
9 at that moment, the supply; and based on the  
10 couple of states within these components, the  
11 components consume power.

12           Now, what about the complete system? Of  
13 course, such a complete system consists of a  
14 large number of such components, which have their  
15 own rules, have their own logic, and have their  
16 own impact on the complete system power  
17 consumption.

18           So the device power is really a complex  
19 combination of component power, as well as the  
20 intricate power dependences. Which, yes, we need  
21 experts, we need people of knowledge, to combine  
22 them in the way so that the complete device  
23 performs as we request. And, yes, the best  
24 understood results came from the application of  
25 mobile space, not only from industry, from

1 academia, from researchers, as well as from all  
2 the imagination have, how to have a watch or a  
3 phone or a tablet which will last for days,  
4 hopefully, one day, for months. Like we used to  
5 have our old TI calculators, which lasted a very,  
6 very long time, and we should have this vision to  
7 go that path.

8           So, today, in this demo, we will show you  
9 two systems. Both systems use common software  
10 and components. Number one is an assembled  
11 desktop, which consists of a couple of standard  
12 components you can buy online or from Fry's or  
13 Micro Center. And with the first demo, we would  
14 like to show you the impact of the software  
15 defined power management; how, basically, the  
16 software changes can improve the performance of  
17 that device. And, yes, we are focusing on the  
18 idle states, which are discussed here at this  
19 workshop.

20           The second one is a similar demo, but it  
21 involves an off-the-shelf desktop. And it shows  
22 the impact, how the improved voltage regulation,  
23 the improved voltage conversion, can help reduce  
24 the power consumption of the device also in the  
25 idle states.

1           So, with this, I will hand over that to  
2 my colleague, Davorin Mista, who will now conduct  
3 the demo.

4           MR. MISTA: Okay. Thank you.

5           Okay. So the first demo I'd like to show  
6 is the custom PC. I've got this videocamera  
7 here. Basically, what you can see here is the  
8 motherboard and, back there, the power supply.  
9 And the motherboard is connected to the power  
10 supply through these -- this setup here that we  
11 have. And all these are power-measurement  
12 shunts. And that is fed into this data  
13 accusation device, and then the actual results  
14 are shown here on this PC.

15           (Pause.)

16           So this software now visualizes the DC  
17 power measurements that we're making to measure  
18 the individual contribution of the different  
19 components so we can identify how much power the  
20 hard drive consumes, how much the CPU is  
21 consuming, and how much power the different  
22 components on the motherboard are consuming. And  
23 so, here, for example, we can see the CPU power  
24 consumption broken out.

25           And then we also have the AC power

1 consumption here with a power analyzer. So this  
2 22 at the bottom, that is the AC power  
3 consumption.

4           And the computer that you're seeing here  
5 is now in the default configuration. This is the  
6 configuration that it was in when we purchased  
7 it. And it takes about five seconds to wake out  
8 of idle. And so, now, I'm going to make some  
9 changes here in the software to make the -- bring  
10 the computer into a more optimal setting.

11           So these changes comprise changes we had  
12 to make in the registry, changes in the Windows  
13 configurations. And there's also software that  
14 is included with the MSI board, and this software  
15 allows to also make custom changes to power  
16 specific settings.

17           (Pause.)

18           Okay. So, as you had seen, we had a  
19 default idle state, the computer ends up at about  
20 22 watts, which is after sufficient amount of  
21 aging. We ran those computers for, basically, a  
22 whole weekend after first installing. This is  
23 the default configuration, basically, here. But  
24 we did wait until there was really no more  
25 background processes going on and just a standard



1 Windows operation. So we did have to change here  
2 a little bit the display timeout to turn off  
3 after only one minute so that we can demonstrate  
4 it here. But, basically, what you will see is  
5 that, once a display turns off, the power  
6 consumption will pretty quickly -- should go down  
7 to 16 or so watts. And it should also eventually  
8 reach 12.4 watts, which is when the hard drive  
9 turns off.

10 (Pause.)

11 So for the purposes of this project and  
12 also during this demo, all the changes that we  
13 have made were manual changes using the available  
14 software. But, typically, the Aggios software  
15 we're developing does this kind of thing  
16 automatically so that it dynamically picks the  
17 right operating points, turns off unnecessary  
18 services and devices, and puts them in the  
19 optimum power state.

20 So we will have to wait another 30  
21 seconds or so to enter the mode with the screen  
22 off, which is, essentially, an idle mode.

23 We know that Energy Star defines idle to  
24 start at 5 minutes, long idle at 15 minutes.

25 But -- and that's also how we measured it. But,

1 for this demo, we shortened it. And normally go  
2 down fairly quickly. Of course, now, as you can  
3 see, it briefly went up. Windows has a tendency  
4 to schedule some background tasks to start as  
5 soon as the screen turns off. So the power  
6 consumption can initially go up as soon as the  
7 screen turns off because Windows has a bunch of  
8 tasks lined up to start right then.

9           But now we are already going down to 17  
10 watts and we're at 16-something. So if we leave  
11 this running for five more minutes and maybe  
12 later during lunch, you should see this being at  
13 around 12.4 watts. But we're not going to wait  
14 for this state now any longer. But we already  
15 have achieved an improvement from 22 down to  
16 16something through just software changes in the  
17 default configuration.

18           So just to also show that the latency to  
19 wake up is identical as before. The latency is  
20 dominated by how long it takes for the graphics  
21 and the monitor to turn back on. So for a user,  
22 there is no difference here at all. And if we  
23 run a benchmark -- I'm starting this Intel  
24 Extreme Tuning Utility and that one has a  
25 benchmark built in. It takes about a minute and

1 a half for that to run. So we'll leave that  
2 running, and I'll switch to the next demo. But  
3 the benchmark will, essentially, show that  
4 there's no degradation in performance whatsoever.

5           So I would like to switch to the second  
6 demo. So the second demo shows a commercially  
7 available desktop that we used. And we took the  
8 motherboard out and we did the exact same  
9 analysis as we did with this custom PC. And  
10 we identified that there was a huge inefficiency  
11 in its low power state, when it was in an idle  
12 state, and it was running at around 22 watts in  
13 idle is what we measured. It was using all the  
14 default configurations. We, basically, plugged  
15 in the box, let it run over a weekend to make  
16 sure that any kind of initial settings and  
17 background compilations and anything has been  
18 completed. And it was -- stayed at 22 watts,  
19 pretty much there. And then we started doing all  
20 this analysis, and we identified that the power  
21 supply is very inefficient when it comes to that  
22 particular state. The efficiency is between 50  
23 and 60 percent, depending on where exactly you  
24 are in the power range.

25           So now -- the PC, at the moment, is in a

1 state -- this is also a power analyzer that's  
2 supposed to show you the AC power. We have had  
3 problems with this device, because once you go  
4 below 10 watts, then it stops showing the value.  
5 And there was an auto mode that was supposed to  
6 work, but -- so, whenever the hard drive turns  
7 off, we go from 12-something watts down to 9.8  
8 watts. And that's when this device then refuses  
9 to display it.

10           So, essentially, what we have done is we  
11 have taken this picoPSU -- this is a PSU  
12 that looks like this. It's very minimalist. It  
13 is only rated for 160 watts, so, yes, you cannot  
14 plug in some massive high-end graphics card. But  
15 we were, basically, just trying to demonstrate  
16 how much impact a better PSU can have in this  
17 kind of an idle mode. And we were able to --  
18 with this PSU, we measured an efficiency of  
19 around 88 percent in that state. So the power  
20 consumption dropped by over 40 percent through  
21 just changing the PSU alone.

22           So, unfortunately, it looks like the  
23 power meter is not cooperating. Oh, here we go.  
24 Here we go. So, now, it is showing 9.7 watts.  
25 So the number on the left is the wattage.

1           And, now, if I wake up the system --  
2 again, the latency is the same -- something close  
3 to five seconds. So, now, that it went over 9  
4 watts, it also now refuses and I have to go and  
5 change the mode so it can -- so, now, we're here  
6 at 15 watts, but the computer is now running.

7           Yeah. So, essentially, it was a  
8 combination of the -- what you saw here is, the  
9 40 percent savings, just through the power supply  
10 and then making some of the software  
11 optimizations we also made here that we reached  
12 under 10 watts on a commercial desktop.

13           MR. ZIVOJNOVIC: Thank you, Davorin. So,  
14 basically, this is not a scientific experiment.  
15 This is --

16           MR. RIDER: Can you stay close to the  
17 microphone?

18           MR. ZIVOJNOVIC: Oh, sorry. It's not a  
19 scientific experiment. It's an experiment of a  
20 couple of experts who pretty well know power  
21 management for different devices.

22           And we believe that, based on these  
23 analysis and our general knowledge, that  
24 components can meet expected power levels and  
25 that they are available already today. Of

1 course, costs, organization, marketing, and all  
2 these commercial issues have to be discussed.

3           We see a major work in front of us: How  
4 to improve the way we select and combine such  
5 components. And this is, obviously, done by some  
6 vertically integrated companies very well, which  
7 we've mentioned in previous presentation. And I  
8 think the industry is on the right path. But as  
9 our demand for more sophisticated devices grows,  
10 the way -- how we combine these components and  
11 how we tune them I think will be a determining  
12 factor.

13           Of course, there is some improvements in  
14 the wattage conversion area, which you have seen  
15 here in working, and there are movements that a  
16 lot of that is done on chip that we eventually  
17 one day will not need all the voltage conversion  
18 off the chip and even off the board. But that is  
19 coming as a next step.

20           And, also, as a last point, I would like  
21 to mention that new unified technologies -- when  
22 I say "unified," unified in terms of plug loads  
23 and mobile and internetal things. And related  
24 standards are really necessary for cost effective  
25 deployment of complete, reliable, and long-term

1 reliable solutions, power management solutions  
2 across the industry.

3           So I would say, in my experience and the  
4 experience of my team, we see a very bright  
5 future, that we will reach phenomenal levels of  
6 power reduction and energy efficiency in these  
7 devices. And that, obviously, academia has to  
8 play and continue to play a good role.  
9 Innovation, which we, as a start-up, hope are  
10 part of that, as well as all the owners who  
11 participated today.

12           So I see a very bright future for this  
13 whole field. And, you know, thank you very much  
14 for your attention.

15           MR. RIDER: I think he's trying to show  
16 us the benchmarks.

17           But, in the meantime, I just want to say,  
18 you know, thank you to everyone who presented.  
19 That was the last presentation. And once we see  
20 these numbers here, then I want to take a poll.  
21 So we're at 1 o'clock right now. I would prefer  
22 if we could go straight into some of these  
23 comments and push on through and then we'll break  
24 for lunch. But I kind of wanted to get a feel  
25 from the room. Is anyone here having blood sugar

1 issues or anything? Okay. All right. Well,  
2 then we'll go ahead and continue on to the public  
3 comments.

4           So I have a number of blue cards, so I'm  
5 going to start with these, and then we'll go to  
6 general comments. The first up I have on the  
7 cards is Gary Fernstrom from PG&E.

8           Yeah. And if you can keep it -- just  
9 generally, not to you specifically Gary -- but if  
10 we can keep it going, that's probably a good  
11 idea.

12           MR. FERNSTROM: I'm Gary Fernstrom  
13 representing PG&E. I'll be quick and take only a  
14 couple of minutes.

15           Chris opened this morning for industry  
16 and showed the relationship between computers and  
17 productivity. I think there's no question that  
18 computers have brought us enormous productivity  
19 improvements. That doesn't mean that they  
20 necessarily need to be less efficient than they  
21 could be. I think we can have the full utility  
22 and service that computers bring us at less  
23 energy use by carefully designing and choosing  
24 the components within the computers and the  
25 manner in which we operate them.



1           Mark talked about the diversity of  
2 customers and configurations. And this is true.  
3 But there are some common functions and  
4 components within computers that offer the  
5 opportunity to allow this diversity of  
6 functionality while still reducing the energy  
7 consumption. For example, the power supply. So  
8 no matter whether you have a high-performance,  
9 multifunction machine or a simple, less capable  
10 machine, you still have a power supply, and the  
11 power supply can be made more efficient.

12           So irrespective of the diversity or types  
13 of customers, there are commonalities within  
14 these products that allow for efficient  
15 improvement.

16           A comparison was made to automobiles, and  
17 I thought that was a very clever comparison. We  
18 could go out and get a Ferrari and that would  
19 probably be the ultimate in automobile  
20 performance, unfortunately, the Ferrari stopped  
21 at a traffic signal or caught in commute traffic  
22 isn't performing very efficiently. On the other  
23 hand, we could go buy Tesla, and the Tesla has  
24 enormous high performance, yet when it's stopped  
25 at a traffic signal, it's consuming very little

1 or no power at all.

2           So the computer industry is really no  
3 different in terms of the components it chooses.  
4 We can have high performance yet minimal energy  
5 consumption when machines are being used at less  
6 than their full capabilities. And it's that  
7 range that we want to see developed.

8           I think the utilities have shown that  
9 products are available that have low energy  
10 consumption and high performance in the market.  
11 Energy Star attempts to encourage manufacturers  
12 to move to that level. So there doesn't, to me,  
13 anyway, seem to be any reason we shouldn't be  
14 able to move to reasonable efficiency standards  
15 given all of these considerations.

16           Thank you.

17           MR. RIDER: Thank you, Gary.

18           And, you know, the automobile comparison  
19 is almost irresistible, but, you know, really,  
20 we're talking about where the driver is not even  
21 in the car. I mean, these aren't even in use.  
22 No one is driving these things. This is more  
23 like the driveway. And nobody leaves their car  
24 running on the driveway. But, you know, they do  
25 leave their computers when they step away from

1 them and aren't using them. And, you know, if  
2 everyone turned off their computers when they  
3 walked away, this idle mode wouldn't even be a  
4 conversation.

5 So I have -- next is NVIDIA, Ned Finkle.

6 MR. FINKLE: Hi. Thanks for the time to  
7 speak.

8 First of all, I want to support CEC's  
9 attempt to find constructive ways to save energy  
10 in our industry, so we're not at odds with that.  
11 Our industry is an enlightened group of people,  
12 and we share those kind of goals.

13 We would like to be a part of that  
14 collaborative discussion, if I could call it  
15 that, and I don't know that we have been so far.  
16 We really need the data sets. And I really want  
17 to kind of back up what I think I've heard from  
18 our other industry partners, that we need to see  
19 more to the underlying data sets that you've been  
20 using to produce that. So that would be helpful.

21 The other thing in watching the  
22 presentations are -- I think we should be careful  
23 with analogies to other industries. I love  
24 automobiles. I'm a fantastic proponent of cool  
25 things within the auto industry. I don't think

1 if you measured our PC industry and all the  
2 aspects of it, you would find the comparable  
3 curves. We've been fantastically innovative.  
4 And it would be amazing if we could only have an  
5 auto industry that performed like the PC  
6 industry. So that would be something that we  
7 need to be care -- it's not easy just to say, if  
8 we just do what we did to the auto industry, the  
9 PC industry does the same thing, because it's on  
10 a completely different curve.

11           NVIDIA, for instance, we are in  
12 supercomputers, the latest and the most advanced  
13 all the way down to handheld devices. So we  
14 think a lot about power already. And so it's  
15 not -- it's on our mind. We don't absolutely  
16 have to have pressure to do it. We do it  
17 naturally and competitively.

18           So I think, as a Californian, I'd also  
19 say, let's be careful not to degrade our  
20 innovative status as a state. Let's be careful  
21 to think about the real problems we're solving.  
22 We're leading in so many categories -- machine  
23 learning, biotechnology, research -- so many  
24 areas, and those depend on these performance  
25 products that we're talking about. And simple

1 legislation that seems well intentioned could  
2 really disrupt that.

3           So, in summary, let's be careful; let's  
4 solve the right problem; and, please, we need the  
5 data sets.

6           Thank you.

7           MR. RIDER: Yeah. And I meant to  
8 recognize, too, in the earlier presentations, you  
9 know, I appreciate all the points that, let's get  
10 together and talk more about this, and I think  
11 that's exactly the right next steps coming out of  
12 this workshop. So appreciate the offers from  
13 everyone, industry and other advocates,  
14 stakeholders in general, to do that.

15           Next, I have Peter May-Ostendorp from --  
16 is it Xergy? How do you say it? Just Xergy?  
17 How do you even say that company? Xergy? One of  
18 those things.

19           MR. MAY-OSTENDORP: I'll just repeat it  
20 again.

21           Hi. Thank you. Peter May-Ostendorp from  
22 Xergy Consulting on behalf of the California  
23 IOUs.

24           I wanted to just address a couple of  
25 points relative to the technical materials that

1 the IOUs provided on computers. There were just  
2 a couple of maybe misconceptions that I wanted to  
3 address.

4 I think, Gary, in your presentation,  
5 there were some discussion around the correlation  
6 between the systems that were tested and what's  
7 actually in the end users' hands in California.  
8 And, although, we would really like to get that  
9 information, you know, not being in the industry,  
10 we don't have the specifics of what's in  
11 California, but we did do extensive market  
12 research to identify common configurations for  
13 all of the systems that were tested. And so we  
14 felt they're fairly representative at a national  
15 industry-wide level.

16 I think the second point relates to some  
17 of the way that testing is being conducted. And  
18 I apologize if we, you know, didn't make all of  
19 this clear in the report. We would have probably  
20 had a million footnotes as far as all of the  
21 steps that you need to go through prior to  
22 measuring the idle power of a system that aren't  
23 spelled out in explicit detail in the test  
24 procedures today. So maybe that's a conversation  
25 that needs to be had. But this idea of clean

1 installing the OEM software -- or clean  
2 installing the operating systems, yeah, clearly  
3 after that is done, the system needs to have time  
4 to continue to receive software updates, new  
5 drivers need to be reinstalled that were present  
6 in the original OEM install. And so that is  
7 something that is a part of our analysis, and I  
8 just wanted to recognize that, that those steps  
9 are being taken when these measurements are done.

10           There were -- I think there may also be a  
11 little bit of a misconception that the systems  
12 that we generated through component swapping are  
13 somehow low performance. And I just wanted to  
14 clarify that, you know, particularly on the  
15 processor end, we did not use mobile on desktop  
16 or, otherwise, notebook components in our desktop  
17 system builds. And so those components were  
18 actually kept at a similar performance level per  
19 the Energy Star established categories, and we  
20 actually did some benchmarking to ensure -- with  
21 commercial benchmarking software that the system  
22 performance didn't degrade. And, actually, in a  
23 few cases, the performance went up with the more  
24 efficient part replacements.

25           And, finally, I think the last technical

1 point I just wanted to address was this idea of  
2 rightsizing power supplies. And I think it was  
3 presented that, you know, the IOU discussion of  
4 rightsizing is a strategy that could be applied  
5 to anyone in creating any computer, and that's  
6 not the case. And, actually, I'm just going  
7 to -- verbatim from the report, actually, the way  
8 that we tried to characterize this is really as  
9 one pathway to achieve improved efficiency. So  
10 it's a promising design strategy, but it's not  
11 appropriate in all situations and, you know, for  
12 example, expandability, we realize is a concern.  
13 And so that's -- we need to make sure that these  
14 strategies are applied and don't compromise the  
15 OEM's overall design objectives.

16           So that's all I just wanted to clear up.  
17 Thank you.

18           MR. RIDER: Thanks.

19           I have multiple cards from  
20 Southern California Edison. Is there -- no?  
21 Okay. Well, if you still want to speak, there  
22 will be an opportunity in a moment.

23           We've got Stephen Eastman from Intel.

24           MR. EASTMAN: Hello. So I'm Stephen. I  
25 thank you for the time here, and I appreciate the



1 opportunity to come and talk to you guys.

2           First off, I want to thank you, Ken, for  
3 saying that the graphics cards, you didn't put  
4 them in the proposal but you still think that  
5 there still should be some. Because even like --  
6 everybody in industry and energy see -- even show  
7 that there should be adders for graphics cards.  
8 Everybody's data (indiscernible). So thank for  
9 you that.

10           A few other technical points, to comment  
11 on some of the previous -- other presentations  
12 here, just to kind of point them out. In the  
13 Consumer Federation of America presentation, on  
14 some of those slides, they didn't show -- he  
15 tried to show that the computers' industry power  
16 has gone up over time. He compared computers in  
17 the year 2000 to the year 2010. So year 2000 was  
18 right around Pentium 3, Pentium 4 time frame for  
19 computers. I don't have data in my lab based on  
20 that, so I went online and found data in the past  
21 day, around 86 watts was the idle for a Pentium 4  
22 computer. If you look at nowadays' computers,  
23 we're in the 20s for idle. So, definitely,  
24 our -- the industry of the power -- or the power  
25 consumed by the industry has dropped

1 dramatically. And this is very different than  
2 the -- well, his data showed TEC. I don't know  
3 what calculation he used. I'm talking power, so  
4 it might be slightly different. But that's -- at  
5 least the power has dropped significantly.

6           One other question I do want to talk  
7 about is the Aggios demo over here. And, again,  
8 comparing that to the CEC report, so the CEC  
9 report said on desktops that it's only a \$2 cost  
10 adder. If you look at the power supply itself,  
11 it's an -- I looked it up on Newegg here when we  
12 were sitting in the meeting, it's \$115 on Newegg.  
13 If you could buy a comparable power supply, 400  
14 watts, from Sea Sonic, same vendor, 80 PLUS  
15 Bronze, it's \$47. That's a huge cost adder.  
16 That's not \$2. That's, you know, \$60, \$70  
17 something or right there.

18           The other question on the DC-to-DC  
19 converter that they're using over there, I have  
20 not tested one of those in my lab, but I could  
21 definitely take one of those if you want me to.  
22 The industry, as Intel and other industry  
23 vendors, we have a very stringent power supply  
24 requirement, that power supplies have to meet  
25 something around 250, 300 lines of code that we

1 run power supplies through to meet it. It's not  
2 just a simple, does the thing power on. So my  
3 question is, is does that power supply, the DC-  
4 to-DC converter that you're using, does it meet  
5 all the industry standards for what a power  
6 supply needs to meet to make a computer work for  
7 the life of the computer? So that's one question  
8 I would have about that DC-to-DC converter there.

9           Let's see here. And I think that was all  
10 of my points.

11           So, thank you, for your time.

12           MR. RIDER: And just -- I think maybe  
13 we'll talk or have someone from Aggios talk about  
14 the PSU, but just to address the first demo, I  
15 think the key there is more the delta that's  
16 achieved. So the PSU was not swapped out during  
17 the demo, and the point is -- at least what I  
18 took from it -- was that the delta that was  
19 achieved without changing any of the parts live  
20 and the PSU wasn't what enabled that delta, it  
21 was the software settings. So I understand what  
22 you're saying. It's kind of expensive power  
23 supply. Which -- that's where we started at,  
24 right, though. And so the -- at least what I  
25 took away from it was that the delta is what they

1 were trying to demonstrate, that you can reduce a  
2 significant amount of power by tweaking the same  
3 machine without doing any hardware changes.

4 MR. EASTMAN: In the quick demo that he  
5 showed you, we didn't let the thing go to the  
6 end, we didn't see his final numbers, but if you  
7 run the short idle, which is display on at 22  
8 watts is what we saw with him, his computer, and  
9 then we saw it go down to 16, 17 watts. If you  
10 run the TEC calculation, that's 90. That's way  
11 different than the 50 proposed by CEC.

12 MR. RIDER: Sure. I understand. Thank  
13 you.

14 And then I don't know if you wanted to --

15 MR. ZIVOJNOVIC: (Indiscernible).

16 MR. RIDER: Yeah. Yeah. Please.

17 MR. ZIVOJNOVIC: Thank you for the  
18 comments.

19 Obviously, the piece, the picoPSU, was  
20 fixed as a piece resembling what is typically  
21 found in your notebook type of devices,  
22 (indiscernible) box devices and so on. So let's  
23 look at the little bit bigger picture.

24 The ATX standard and the whole power  
25 supply in these boxes is very, very old. And

1 when compared with what we see typically in the  
2 normal industry, it needs a refresh. This  
3 particular picoPSU is the part which people who  
4 have a car and would like to run a computer in  
5 the car use, because it really converts 12 volts  
6 to a set of other voltages needed to run a PC  
7 like this.

8           So I would not suggest anybody to just  
9 start replacing all their PSUs with this device.  
10 This is just a hint where the potential is. And  
11 probably the right address to look further is how  
12 the (indiscernible) boxes are supplied. How your  
13 notebooks are supplied. And they have very  
14 similar requirements from that perspective. And  
15 it's actually a two-stage power supply; 110 to  
16 12, and then 12 to the voltages you need for the  
17 board.

18           So maybe in that space is -- are elements  
19 for innovation and improvement in the industry.

20           MR. RIDER: Sure. Thanks for responding  
21 to that.

22           Folks in the room, in general -- Mark, if  
23 you would like to come up.

24           MR. COOPER: (Indiscernible) a couple --  
25 three points.

1           One, the graph is labeled "household  
2 consumption," so it's not individual devices.

3           UNIDENTIFIED MALE SPEAKER: The start-up  
4 draft, I thought said per device.

5           MR. COOPER: No. It's not --

6           UNIDENTIFIED MALE SPEAKER: The second  
7 (indiscernible) -- you had number of devices in  
8 the right-hand side, I thought said per device.

9           MR. COOPER: I think that's use, not  
10 energy consumption. Of course, I was looking at  
11 the total number of kilowatt hours, which is the  
12 number of devices times the amount of usage.

13           UNIDENTIFIED MALE SPEAKER: Maybe it  
14 was --

15           MR. COOPER: It's not -- it's not -- it's  
16 not -- it's hours per device, not energy, first  
17 point.

18           Second point, having participated in 400  
19 regulatory proceeding at the state level, the  
20 data issue is a perennial problem. The industry  
21 has the data, they won't give it to the  
22 Commission, when the Commission does its thing,  
23 then the industry says, aha, you didn't use the  
24 right data.

25           The way we deal with that in litigated

1 proceedings, quasi-judicial proceedings, is you  
2 got to put your data in subject to  
3 cross-examination. And then everybody gets to  
4 put their data in, and let's have a litigated  
5 proceeding. And I would love to cross-examine  
6 folks on their data.

7           But this game we've gotten here in these  
8 regulatory proceedings of not showing the data,  
9 you know, exactly what you sell, you've proven it  
10 to that, and the fellow from Dell said he would  
11 never show this, but here was a reason he had to  
12 show it. Well, give the data to the Commission.  
13 We'll subject it to confidentiality, and let's  
14 exam it. You've got the best data. Stop  
15 saying -- playing "I gotcha" when the Commission  
16 doesn't match your data. You got the data. We  
17 know it.

18           Third point, and it really does strike  
19 me, it came up a lot, the question of  
20 one-size-fits-all. I have not talked to anybody  
21 at the Commission, I may get lynched for saying  
22 this, but attribute-based standards are the  
23 current auto standard. They are an immense  
24 improvement, and it's something that I think is  
25 worth thinking about. And I have no idea why you

1 didn't do it or what you could do, but it is an  
2 important point, and it may be at least one area  
3 where there's a significant compromise and  
4 movement possible.

5           MR. RIDER: Yeah, sure. And that can be  
6 part of the discussion. And I think maybe it  
7 makes sense for me to expound a little bit more  
8 on how we kind of arrived at a one-level  
9 standard. And we got there from -- you know, I  
10 was the author on this report -- started by  
11 looking at what the high-end computers would need  
12 to consume. So I started looking at the highest  
13 end processors, maybe not the extreme level of  
14 like Intel's level that really, you know, really  
15 expensive \$1,500 processors, but you know, even  
16 like the high end \$300, \$500 processors, what are  
17 they doing when a computer enters idle. Because  
18 the current differentiation in Energy Star is  
19 based on two things: Whether there's a graphics  
20 card in or out of the computer, and, also, the P  
21 score, which is completely based on the  
22 processor. It's the frequency of the processor  
23 multiplied by the number of cores.

24           So I started at the high end, and I look  
25 at what's going on in idle. And these high-end



1 processors, the newest generation, are idling  
2 down at what I presented in my presentation  
3 levels, around 1 watt, 1 and a half, getting into  
4 C-7, C-6 states. And there's even further states  
5 beyond that that these processors are capable of.

6           Now, at that point, you're already at  
7 1 watt. How much more energy can you shave going  
8 to lower performing processors? So if I'm  
9 already at this really efficient level at the  
10 high end and then I'm trying to scale that toward  
11 lower consumption on the low end by something  
12 that is already -- there's not any energy to  
13 shave off, that was it. So I stopped there.  
14 High performance can meet 1 watt or 1 and a half  
15 watts by the data sheets and things that I've  
16 seen from industry. And so that's why I stopped,  
17 decided not to differentiate, because the high  
18 end was already at a low consumption. And so it  
19 didn't make sense for me differentiate, because  
20 there was no additional energy to squeeze out of  
21 the processor.

22           So -- and then on the graphics card, the  
23 graphics adder, I've already discussed that we  
24 should probably look at doing something on that  
25 one.

1           So -- but that's why that disappeared.  
2           And then on the laptop side, it's also  
3 for a little bit different of a reason, which is  
4 the number of kilowatt hours you squeeze out of  
5 differentiating from a lower amount. If you look  
6 at the Energy Star, has those six categories as  
7 presented, but they're really 1 kilowatt hour  
8 different from each other. So you spend all this  
9 time differentiating six product classes over  
10 1 kilowatt hour. Instead, again, took a high-end  
11 approach, just said, all right, let's flatten  
12 this out, because previous levels have been  
13 pretty different, but this Energy Star level,  
14 particularly for laptops, is flat. And you can  
15 see that trend in the graphics card demo -- data  
16 that I think Pierre -- or maybe the IOUs put  
17 up -- is the idle level is becoming flat across  
18 performance. And so the trends in the industry  
19 is that idle is just kind of one level, and it's  
20 not really varying a whole lot by performance.

21           And so that's what I saw. We're  
22 certainly going to take a lot more time to  
23 discuss it. But that's kind of the thought  
24 process that led to a flat level, not that we  
25 were just trying to clump everything into one,

1 but that the data that we saw and the industry  
2 trends in processors and devices were showing  
3 that trend already.

4           Okay. Yeah. Why don't we start with  
5 you, Gary. Please use the mic, because we are  
6 trying to get a transcript out of this.

7           MR. SAXTON: Sorry to interrupt. Just  
8 before you do, I want to go back to Mr. Cooper's  
9 second point, on data. Yes, it's a perennial  
10 problem. I'd like to reiterate, again, as we've  
11 done at every meeting, with every proceeding, we  
12 do have a confidentiality procedure here at the  
13 Energy Commission. The attorney on this  
14 proceeding, Jared Babula, had been sitting next  
15 to the podium all morning. He's stepped out now.  
16 He can give you the details. Data can be  
17 submitted to the Energy Commission  
18 confidentiality.

19           Thanks.

20           MR. RIDER: Great points.

21           MR. VERDUN: So a couple of notes.

22           In the response and other things, since  
23 I've talked to -- a lot of people have talked  
24 about the ability to hit the power levels. And  
25 I've never disputed that we can hit those power

1 levels. The question is whether or not it's  
2 actually cost effective.

3           When we design a system, we have to  
4 consider performance requirements of the end  
5 user, other functional requirements of the end  
6 user, cost and power consumption.

7           MR. RIDER: Can you tell me your name?

8           MR. VERDUN: Gary Verdun with Dell.

9 Yeah.

10           So if you look at any one of those  
11 vectors by itself, you can get a completely  
12 different answer than what's -- then what could  
13 possibly be built and shipped to the end user.  
14 We go back to the automobile analogy. The  
15 automobile analogy says, if you took every  
16 wheeled vehicle with an internal combustion  
17 engine and made them consume in park or idle or  
18 neutral, you know, the lowest thing you can find,  
19 that makes everyone have an engine of a moped.  
20 And, although, yes, you can have automobiles that  
21 do certain things well, you have a real hard time  
22 running a truck, a dump truck, transportation  
23 vehicles, 18 wheelers. They can't run on those  
24 engines. And so that's our whole performance  
25 thing is, because work is completely unconsidered

1 in all of this, the effect on work and ability of  
2 the product to do the useful work that customers  
3 require is completely out of the question.

4           And if you take that single vector of  
5 idle power and run it to the absolute lowest, you  
6 will affect performance.

7           There was a discussion about tablets,  
8 notebooks, desktops, integrated desktops. A big  
9 part of the power delta as you go up those is the  
10 bigger displays. When I look at a phone or  
11 tablet, I have a display that consumes a couple  
12 of watts to provide the image. I can hit that  
13 power level on an integrated desktop or a desktop  
14 as long as you don't care to look at the screen,  
15 but if you want to look at the screen, I need  
16 somewhere around 4 to 8 times the power to make  
17 this big of screen give you enough brightness to  
18 read it compared to this big of screen. So there  
19 are some physics limitations that are completely  
20 unconsidered in that.

21           And, again, none of those are energy  
22 efficiency, they're average energy consumption.  
23 If you really want to talk efficiency, you have  
24 to look at the work. And this regulation, again,  
25 completely ignores any type of work capability.

1 Very passionate about that because my customers  
2 insist on it.

3           DDR4, keystroke sleep. Every notebook  
4 shipped right now from Dell -- and I can tell you  
5 every desktop shipped from Dell, particularly  
6 business products -- turn the processor into its  
7 lowest power state hundreds of times a second.  
8 Milliseconds is so long it's ridiculous. The  
9 average on time for a processor in idle is 10  
10 microseconds. Comes on for 10 microseconds, does  
11 its background activities, and gets turned off.  
12 It gets put into C-6 -- well, C-5, C-6, C-7,  
13 depending on how long it's been doing it. That  
14 exists today in notebooks. It happens in  
15 everybody's notebooks. It happens in desktops  
16 now.

17           And so you can't assume that we will make  
18 significant gains by turning that on. It's  
19 already on. It's there.

20           Yeah. I don't remember too many other  
21 shots with (indiscernible), but those are the  
22 ones that mattered.

23           MR. RIDER: Sure. And I just want to --

24           MR. VERDUN: Thanks for your time. I  
25 appreciate it.

1           MR. RIDER:  -- make clear to you that  
2 there is a display adder for both integrated  
3 desktops and laptops and it does, I believe,  
4 scale to the size of --

5           MR. VERDUN:  I'm just disputing the point  
6 that the entire computer industry can be served  
7 by a phone or a tablet.

8           MR. RIDER:  Oh, okay.

9           MR. VERDUN:  All right.

10          MR. RIDER:  Sure.

11          MR. VERDUN:  And that all products can  
12 meet the same power level as a tablet.

13          MR. RIDER:  Okay.  I misinterpreted --

14          MR. VERDUN:  You can do that as long as  
15 all you want to do is whatever you do with a  
16 tablet.  If you want to do more and you want a  
17 bigger screen, we need more energy to do it.  And  
18 that's completely undisputed.

19          MR. RIDER:  I misinterpreted.  Now I  
20 understand your point.

21          MR. VERDUN:  I think that -- well, we can  
22 get into a lot more detail and -- well, we'll  
23 have a technical day.  We need to get into a lot  
24 more detail.

25          MR. RIDER:  Sure.  Sure.  Sounds good.

1           MR. VERDUN:  There's a lot of physics.  
2  And then the whole processor thing and whatever,  
3  so I did the processor enhancements and P- and  
4  C-state enhancements at Dell.  I know what it is.  
5  I know how it works.  I helped Microsoft and  
6  Intel create them.  So I know more than anybody  
7  around here on that, most definitely.  So --

8           MR. RIDER:  Look forward to continuing to  
9  talk to you and figure out what that gap is  
10 there.

11          MR. VERDUN:  Thank you for your time.

12          MR. RIDER:  Go ahead -- no, if you --  
13 okay.

14          MR. COOPER:  I want to understand this  
15 difference because it's -- so Ken says he studied  
16 the high-end processors and discovered that when  
17 they were in idle, no work, they were down to  
18 1 watt.  And he said to himself, Okay, well, why  
19 can't the other processors do that as a standard?  
20 And your answer is, It cost money.  And I  
21 can't -- I'm spending money to have it perform  
22 that way.  So there's no doubt it can do the  
23 work.  It can re-power up.  And why can't that  
24 happen at the lower end.  Your answer is that, I  
25 don't design it that way and it would cost me a



1 lot more money.

2 MR. VERDUN: I never said that.

3 MR. COOPER: Well, it cost money.

4 MR. VERDUN: Don't put words in my mouth,  
5 now.

6 MR. COOPER: No, it cost money to do --

7 THE REPORTER: Sir, can you speak into  
8 the microphone, please. We're not  
9 (indiscernible) this for the transcript.

10 MR. COOPER: No. No. But his answer  
11 was --

12 MR. RIDER: Well, let's --

13 UNIDENTIFIED MALE SPEAKER: Folks --  
14 folks --

15 MR. RIDER: Mark, can you speak into the  
16 microphone, please?

17 MR. COOPER: Okay. But the point is that  
18 his answer was it's down to 1 watt in the idle,  
19 so why can't the other processors do that.

20 MR. VERDUN: They do.

21 MR. RIDER: Well, then, so it doesn't  
22 make sense to scale the -- and then my conclusion  
23 is, it doesn't make sense to scale the standard  
24 by a processor power, the frequency multiplied by  
25 the cores. If they are going down low, then it

1 doesn't make sense to make that --

2           MR. EASTMAN: But my point to that is,  
3 when it happened with Energy Star and why it went  
4 that way and why that proposal worked and the  
5 industry, you know, backed it, and the industry  
6 and the EPA worked back and forth on that  
7 proposal, was, how else do you explain that when  
8 you look at the high-end performance processor  
9 versus and use the Intel line from a Core i7 down  
10 to an Atom processor, yes, they all get down to  
11 very low watts, in the range of 0 to 2 to 3  
12 watts. They're all down there in that range.  
13 But when you buy a Core i7 processor, you're  
14 expecting performance in other components in the  
15 system will be consuming more power, there will  
16 be other components that go along with that Core  
17 i7, because you don't put a Core i7 in a tablet.

18           So there's other stuff around it, and the  
19 only way to bound it was to say that the  
20 processor was the consistent factors, when you  
21 have a more higher performance processor, you get  
22 more other components that can add up to extra  
23 power. So that was the reason behind that  
24 worked.

25           I agree, yes, when you look at just

1 processor power, it does not -- it's pretty  
2 consistent across the range. But when you add  
3 the extra components of what a performance  
4 computer needs, then it makes it up. So that's  
5 where we got that. That's where it came from.

6 MR. RIDER: Thank you.

7 UNIDENTIFIED FEMALE SPEAKER:

8 (Indiscernible).

9 MR. RIDER: Yeah, I would like to be a  
10 little more organized like that. So, actually, I  
11 really like this idea, so if you could just go  
12 ahead and line up if you plan to speak. It's a  
13 lot easier than trying to pick who is -- and less  
14 personal that way for me. Okay.

15 MR. KIM: Thank you very much.

16 I'm Charles Kim of  
17 Southern California Edison Company. I would like  
18 to take a moment to recognize and commend the  
19 staff. This computer topic is not an ordinary  
20 topic. It requires and demands extraordinary  
21 efforts, not just understanding the market trend  
22 and testing methodologies, but the understanding  
23 of the ins and outs of a computer at the  
24 component level.

25 Staff's extraordinary effort certainly

1 demonstrate CEC's, therefore California's,  
2 leadership in energy efficiency. Mr. Hankins  
3 [sic] of ITI mentioned the IT Revolution. Yes,  
4 it started in California, and I'm very proud of  
5 it. And the same revolution for energy  
6 efficiency can start in this California State as  
7 well. But it doesn't require new knowledge.  
8 Off-the-shelf technology is available, and they  
9 are cost effective. And I look forward to work  
10 with the many stakeholders to (indiscernible) the  
11 proposed rulemaking on this particular  
12 proceeding.

13           But I just want to make one more, that  
14 is, this is not an ordinary topic, as you can  
15 see. And I continue to expect extraordinary  
16 effort from the staff to lead this topic. And  
17 I'm very thankful and very grateful for his  
18 leadership, and we'll continue to support him to  
19 meet the California goals to protect our  
20 environment and also reaching the greenhouse gas  
21 reduction goals. Let's work together. And I'm  
22 certain that we can reach the sensible and cost  
23 effective and technological feasible solution by  
24 working together.

25           Thank you very much.

1 MR. RIDER: Thanks.

2 Go ahead, Pierre.

3 MR. DELFORGE: Pierre Delforge, NRDC.

4 I'm apologizing and taken back in the  
5 weeds after Charles' comments. But I want to  
6 kind of respond to a couple of points that were  
7 made.

8 Mark, you know, you suggested a  
9 performance-based approach. And, you know, we  
10 fully support performance-based standards, but,  
11 in this case, the test method is measuring  
12 computers when they're not doing any work. So  
13 the question is how much performance do you need  
14 when you're not doing anything. And we're not  
15 asking to downsize the engine. You know, you can  
16 have the engine you need. You can have a Ferrari  
17 engine. You can have a Tesla engine, whatever.  
18 But when you're not using it, when you're not  
19 going anywhere, you don't need the engine on.  
20 And that's the thing, that's our whole point.

21 As long as you can wake up without  
22 latency, as long as, you know, you can perform  
23 all the work that is demonstrated on the  
24 benchmark, power managing the computer when you  
25 don't work on it, when it is not doing anything,

1 doesn't impact performance.

2           This is true for graphics as well. Yes,  
3 graphics are going lower as, you know, I think  
4 Nate early on mentioned, they still need some  
5 power in idle. But why? I mean, why do we need  
6 power in idle when we have hybrid graphics  
7 technology that allows you to switch to  
8 integrated graphics. I know it's not in all  
9 computers today. And that's the question. The  
10 question is, can it be within two years? You  
11 know, that's what we need to talk about, not  
12 whether it was done five years ago even if it's  
13 deployed today at scale. No. Is it technically  
14 feasible? Is it cost effective? Can we do it  
15 within two years?

16           So that's a conversation I think we need  
17 to have if we don't want to talk past each other  
18 in the stakeholder workshops. How can we make it  
19 happen? Is it technically feasible? And, if not  
20 for really good reasons, then, you know, let's  
21 look at what can be done. And maybe in that case  
22 we need performance categories and adders. But  
23 not if we don't.

24           And with storage, the same thing. Why do  
25 you need a second storage disk in idle to be on?

1 I mean, it doesn't have to be on in idle. You  
2 can have as many additional discs that you need,  
3 but they don't need to be on when you don't  
4 access -- when you're not accessing the data.  
5 So, you know, why do we even need a storage  
6 adder?

7           So that's the thing, that's the  
8 conversation I think we need to have to move  
9 forward on, you know, whether we have a standard  
10 that's effective and at the same time meets the  
11 market needs.

12           Thank you.

13           MR. RIDER: Shahid.

14           MR. SHEIKH: This is Shahid Sheikh from  
15 Intel.

16           Just to go back on the categorization.  
17 And, Ken, you mentioned that, okay, the CPU, you  
18 know, idle power has gone down, and so there's no  
19 way to differentiate higher-end CPUs from the  
20 lower end in that range. So within Energy Star,  
21 the history, and I've been involved deeply in  
22 that, was that we had to find a proxy to be able  
23 to separate categories. And so looking at just  
24 the attributes of the system level was not  
25 cutting it anymore, from going to Energy Star

1 Version 5 to Version 6. So the proxy that was  
2 close enough, it's not perfect, you know, again,  
3 we're looking at real systems, and we're not  
4 going to achieve perfection. The best proxy was  
5 looking at, okay, CPU, TDP power and a number of  
6 cores and frequency.

7           And so that served as a proxy because the  
8 type of components in the platforms at a higher  
9 end of those performance score would tend to be  
10 the ones that will also be higher power.

11           Okay, now is that always the case? Most  
12 cases, most times, it was the case. So that's  
13 where the whole proxy for category separation  
14 came into place.

15           Now, if you feel that that proxy for the  
16 way you want to separate a category is not good  
17 enough and you have -- we have a different way to  
18 look at it, that's great. But let's not kill the  
19 categorization just because we don't like the  
20 proxy of CPU frequency times the core anymore.  
21 Let's look at finding a different way to look at  
22 it. Because we can't compare high-end products  
23 with the low-end products and based on the  
24 attributes.

25           Thank you.



1           MR. RIDER:  Very noted.  And, you know,  
2  I'm not saying that we absolutely would not do a  
3  categorization.  Just like the graphics adder,  
4  what we saw in Energy Star just didn't make sense  
5  anymore for where the industry is headed.  From  
6  all the data, from all the performance, the  
7  adders for the graphic cards didn't make sense  
8  anymore.  The categorization, things are  
9  changing.  I've reviewed all the roadmaps from  
10 the industry from AMD, from Intel, looking at  
11 what's going on and where is memory going, where  
12 is everything going, and it's all -- you know,  
13 flat is what I'm seeing.  But what you guys have  
14 more experience on, particularly, and where the  
15 discussion is fruitful and -- is where that's not  
16 true and where the power consumption is not going  
17 to be able to get to that flat level.  And it's  
18 not around the CPU, and it's around -- at least  
19 from what I have seen -- it's around something  
20 else, other parts, other things --

21           MR. SHEIKH:  Yeah, (indiscernible)  
22 platform.

23           MR. RIDER:  We've got adders.  We've got  
24 at categories.  I mean, adders is one -- one  
25 approach that's being used here to deal with

1 that. But categorization is another approach as  
2 well. We just need to characterize what that is,  
3 because I don't want to make it -- I want to be  
4 specific to that need and not around something  
5 that doesn't make sense, like the cores, the  
6 number of cores in a processor.

7 MR. SHEIKH: And looking at component  
8 level is fine, but I think for this regulation,  
9 we got to look at the system level. Just because  
10 some of the components' power is going down, but  
11 the rest of the system may not be going at the  
12 same clip -- right? -- so you have to look at  
13 what differentiates idle power at those systems,  
14 the high-end systems versus the low-end systems.  
15 Why is there a need for higher power? Because  
16 they have to get to work quickly and their  
17 performance requirements are much higher for  
18 those high (indiscernible) systems.

19 MR. RIDER: Thanks, Shahid.  
20 Gary.

21 MR. VERDUN: So I guess one of the  
22 biggest things I want to comment, that I guess  
23 our real issue really is not so much the 50  
24 kilowatt hour limit number. I think it's really  
25 more the time frame. So you look at what we've

1 done in PCs, we've -- without any regulation, as  
2 I said earlier -- cut 80 percent our annual  
3 energy consumption and had almost 3X the  
4 performance in the products. That trend will  
5 continue.

6           One of the problems I see, particularly  
7 from a desktop standpoint is, if we get limits  
8 established and we know what our design target  
9 is, and we don't know that until next year, the  
10 products that are going to be in the market in  
11 California that have to meet that limit, already  
12 done. They're designed. So I don't have time --  
13 if I have to change silicon -- people talk about  
14 these features exist in other products. Yes,  
15 those are silicon features. If I have to add  
16 those features to the components I use in my  
17 desktops, it's going to take me three to  
18 four years. Eighteen months is a typical spin on  
19 a piece of silicon. And then I have to design a  
20 product with that silicon after it's made and  
21 qualified.

22           So, to a large extent, we either have a  
23 combination timing and limit problem, or just a  
24 timing problem. Because those features that  
25 enable those things do roll on in the desktops,

1 but it takes time. And the i7 scenario --  
2 analysis you did is, yes, that's true for Intel's  
3 latest i7. I think it costs a little bit more  
4 than a mainstream processor.

5           So process technology changes and design  
6 changes on processors, chipsets, and every piece  
7 of silicon that goes in a box over time, make  
8 improvements. But mainstream and, you know,  
9 bleeding edge have a different -- very huge  
10 difference in price point. The Dell Latitude  
11 that was up here compared to the MacBook Air,  
12 that's fine and dandy; yes, the MacBook is less.  
13 It's also about \$600 more. And I can go do an  
14 analysis on the energy consumption delta between  
15 them, and I can tell you that the cost of the  
16 system, although it's achievable, it is a lot  
17 more than the energy savings on that product.  
18 Because a notebook has power management, it's  
19 going to work. And a notebook energy cost is  
20 about \$4 a year.

21           And I keep asking -- customers tell us  
22 that they're willing to pay for any energy  
23 reduction we do in our products as long as they  
24 get a one-year payback. We kind of pushed that  
25 to the three-year life of the product. But once

1 you go beyond that, they don't want it, because  
2 they're spending more money than they save on  
3 their energy. I mean, it's their business, guys.  
4 Go do a TCO on the product. And so that's what  
5 drives what we do, to a large extent.

6           Many of the products looked at here that  
7 were used to determine possible reductions -- and  
8 I agree, very low efficient power supplies, yes,  
9 those exist in low-end products that are purely  
10 cost conscious, where the only thing that matters  
11 is the price point to the end users. We can fix  
12 them. A lot of those guys will get a positive  
13 return, but the price points will go up.

14           A typical minimum performance regulation,  
15 like the CEC is trying to do here, is the kind of  
16 thing done in the EU. And they historically go  
17 take the bottom percentage of bad users and  
18 remove them, and over time, you move up the  
19 level. But I just believe that it is completely  
20 unrealistic to go set that at -- you know,  
21 90 percent of the market won't be there.

22           Then, again, just back to the thing, the  
23 whole timing thing. So the levers we have to  
24 pull in the time frame here for a product that I  
25 have to have in production before the end of 2017

1 gives me less than two years that those products  
2 are definition. So other than selecting a few  
3 different parts and minor changes in the  
4 motherboard, I can't make it. And that's why my  
5 analysis did, you know, the more expensive hard  
6 drives, mobile chipsets, because I don't have  
7 time to fix fundamental problems in my -- in my  
8 desktop parts in that time frame.

9           So if I can't do it otherwise -- and,  
10 again, we're back the performance requirements of  
11 my customer at a cost point -- all I can do is  
12 pick mobile parts.

13           So we talked about the automobile  
14 industry in 15 years. Give us 15 years, and  
15 we'll be one-third of what you're proposing now.  
16 Give me two years, I can only make marginal  
17 improvements. And that's just the facts. I  
18 mean, I can't create things that don't exist.

19           Thank you.

20           MR. RIDER: Thanks for the comments.

21 Thanks.

22           MR. COOPER: I don't want to prolong  
23 this, but in the interest of -- the redesign and  
24 refresh cycle is critical. And if you look at  
25 that automobile standard, they went out three

1 cycles to make it happen. And that was a big  
2 change.

3 But the quid pro quo for giving you more  
4 lead time is also maybe thinning them out another  
5 cycle.

6 So you tell me you're going to go there,  
7 I just want to make sure you go there. So that  
8 is something to talk about.

9 Second of all, just a payback, I have a  
10 simple consumer pocketbook rule. Your industry  
11 guys want a one-year payback and you push them  
12 out to three, I'm actually in the middle of that.  
13 I want the payback half of the product life. The  
14 simple rule that I -- I want to guess low --  
15 positive I can get it, but I don't usually get  
16 it -- half of the product life. And if you look  
17 at these, that's about what they had there, so --

18 MR. RIDER: Thanks.

19 If there's no one else in the room, I'm  
20 going to -- I think there are a few folks on the  
21 phone that would like to speak. So I'm -- I know  
22 a couple already, but if you are on the phone and  
23 you would like to speak, go ahead. And if you're  
24 WebEx, raise your hand, use the raise-the-hand  
25 feature, and -- or shoot me a comment and I will

1 unmute you.

2 I believe Andrew deLaski wanted to speak,  
3 so I'm going ahead and unmute him.

4 Andrew, you're unmuted. Feel free to  
5 speak.

6 MR. DELASKI: Thanks, Ken. Can you hear  
7 me?

8 MR. RIDER: Yes.

9 MR. DELASKI: I'll be brief because a lot  
10 has already been said and I know people are eager  
11 for lunch there.

12 I just want to -- this is Andrew deLaski  
13 from the Appliance Standards Awareness Project.

14 I want to generally express my support  
15 for the direction the CEC has proposed. There  
16 are a couple of features about the proposal that  
17 I want to highlight that I think are particularly  
18 important.

19 One is that CEC has proposed a -- the  
20 staff report had included a performance standard,  
21 and the fundamental characteristic here is that  
22 it leaves the industry a lot of flexibility. And  
23 that's what I've heard a lot today from industry,  
24 is the desire to have the flexibility to comply  
25 in the most cost effective way that it can. And



1 that's a fundamental benefit of a performance  
2 standard as a general approach. It allows  
3 compliance at the lowest cost. And I think the  
4 prior commenter said, that lower cost may take  
5 time to come into play. But that's one of the  
6 key characteristics and benefits of using a  
7 performance standard. That has been included,  
8 for the most part, in the staff report.

9 I also want to reiterate and comment on  
10 the focus on the idle mode. This, also, by  
11 emphasizing and focusing on when the part is at  
12 rest, it provides the flexibility for the  
13 products to do more when they're at work. I've  
14 heard the industry points being made that there  
15 is some scaling with respect to idle mode, but  
16 that seems like a factual issue that needs to be  
17 further assessed out as folks continue their --  
18 continue the dialogue.

19 I also want to echo the comments of the  
20 IOUs and NRDC with respect to technical  
21 feasibility. I think there's been a lot of good  
22 work done here. And what I'm hearing back from  
23 industry also is that they're not disputing -- I  
24 don't hear a lot of disputing on the technical  
25 feasibility, and it seems like the conversation

1 today has turned more to the question of cost and  
2 timing. And that brings us back to the issue of  
3 collaboration and sharing of data. I think I  
4 heard earlier Advisor Saxton, you know, point out  
5 the opportunity for NDAs. And I would encourage  
6 the folks from industry to develop NDAs with the  
7 CEC to allow the sharing of cost data so that Ken  
8 and the team there has confidential data that  
9 they can use to better evaluate the cost to meet  
10 particular standard levels.

11           And, again, as has been pointed out, the  
12 folks from industry are the ones who have the  
13 better grip on that, but until you're willing to  
14 put it into the hands of the CEC staff under the  
15 protection of an NDA, they're not going to be  
16 able to benefit from it.

17           I also want to echo the comments that  
18 Mark Cooper made about the need for standards  
19 here. And I think I hear a general consensus  
20 that it's clear that the potential for standards  
21 to make a contribution to meaningful energy  
22 savings and energy efficient improvement, is  
23 substantial here. There's been tremendous  
24 improvement over the years, as has been shown.  
25 But there's potential for more improvement. And

1 as Mark Cooper described, the consumption -- the  
2 energy consumption of the computer is not  
3 front-of-mind for most consumers when they're  
4 buying a computer. And the role for standards  
5 to -- as a public policy tool to drive savings is  
6 quite important for what -- a big energy use.

7           And then I just want to close by thanking  
8 everyone who has participated today, and we look  
9 forward to being engaged in this docket going  
10 forward. The, I think the industry, in  
11 particular, has also offered a lot of very  
12 thoughtful presentations early on and expressed a  
13 willingness to engage here and to collaborate to  
14 find a way forward that meets the needs for  
15 consumers and does it in a way that keeps costs  
16 at a point that's going to pay back for  
17 consumers. I think there is an opportunity for  
18 good collaboration going forward, and I welcome  
19 the opportunity to participate in the workshop  
20 that has been proposed for later this spring.

21           Thanks a lot.

22           MR. RIDER: Thanks, Andrew.

23           I don't see anyone else's hand raised  
24 here on the phone, so I'm just going to briefly  
25 unmute some of these call-in users because they

1 don't have the ability to raise their hands, and  
2 then we'll move on to lunch.

3           So let's see here. So I'm unmuting you.  
4 If you've just called in and you haven't --  
5 you're not on the WebEx, if you would like to  
6 speak, go ahead.

7           (No audible response.)

8           MR. RIDER: Okay. Don't hear any.

9           Last chance for anyone in the room.

10          (No audible response.)

11          MR. RIDER: All right. Well, in that  
12 case, we'll go ahead and break for lunch, get  
13 some food in our stomachs, recharge. One-hour  
14 break for that. And I guess we'll be back at --  
15 you want to cut it down a little bit? Maybe  
16 40 minutes?

17          UNIDENTIFIED MALE SPEAKER: No. Let's do  
18 it one hour and start at 3 o'clock.

19          UNIDENTIFIED MALE SPEAKER: Start a 3:00.

20          MR. RIDER: Okay. One hour. We'll see  
21 you at 3:00, and we'll continue this on displays.

22          Thank you.

23          (Off the record at 1:53 p.m.)

24          (On the record at 3:05 p.m.)

25          MR. SINGH: Hello. My name is Harinder

1 Singh. I work -- I'm an Electrical Engineer for  
2 the Appliance and Existing Buildings Office. I'm  
3 presenting computer monitor displays and signage  
4 displays.

5           So I'll go through this slide, as, you  
6 know, the purpose of workshop, I think we are  
7 already into it.

8           So I'll go directly into the scope of the  
9 proposed regs that are in the staff report. The  
10 scope of the proposed regulation includes  
11 residential and commercial computer monitors of  
12 all sizes and signage displays that are of the  
13 size greater than 12 inches and pixel density of  
14 greater than 5,000 pixels per scale range. So  
15 this is the scope.

16           And we have taken the definitions from  
17 Energy Star Version 6.0, and we have definition  
18 of electronic displays; enhanced performance  
19 display; and display on mode, off mode; signage  
20 display, which is, you know, we are adding to the  
21 existing television definitions; and then display  
22 sleep mode.

23           And, also, the best methods for the  
24 televisions is the -- for the display, signage  
25 displays, is the television test procedures,

1 which is already in the existing CFR, Court of  
2 Federal Regulations. And that is going to be for  
3 the signage displays.

4           And the test method for the computer  
5 monitors is the Energy Star test method for  
6 determining the display energy. We use, again,  
7 the Energy Star Version 6.0.

8           These are the State's standards for  
9 non-federally regulated appliances. And this is  
10 the Section 605.3. And we are proposing these  
11 levels for the display monitoring -- for the  
12 computer monitors.

13           And my next slide is about the existing  
14 standards that -- television standards that we  
15 have. And what we are doing here is clarifying  
16 the definition to -- because some of the  
17 display -- signage display manufacturers are  
18 complying with the current television standard,  
19 while some of them, there was some confusion  
20 there. So we are clarifying and making sure that  
21 all signage display manufacturers comply with the  
22 existing television regulations. And this is the  
23 table and the standard, on-mode standard, they  
24 have to meet, as well as the standby and the  
25 power factor requirements.

1           So we -- this slide is about the  
2 comparisons, where we are in terms of Energy  
3 Star's Version 6.0 and Version 7.0. And so the  
4 blue line shows the CEC display -- proposed  
5 display monitoring -- computer monitors and the  
6 display standards, where the energy levels are  
7 going to be. So I just wanted to mention that  
8 here so that there is a comparison of the data  
9 there from the Energy Star, as well as our  
10 proposed standards.

11           Computer monitor shipments. We find that  
12 the computer monitor market distribution by  
13 screen size is -- would be -- 21 to 24 inches is  
14 where the major market is. And it's -- almost  
15 60 percent of the market is in those two sizes,  
16 and the rest of the market is -- 40 percent are  
17 the smaller, and also 25 to 27 inches monitors  
18 are.

19           And we see that, in 2012, when we look at  
20 the older data there, most of the computer  
21 monitors were LEDs, but, you know, there was --  
22 86 percent were LEDs, and 92 percent of the  
23 signage displays were LEDs. But, now, almost 100  
24 percent are shipped, monitors and signage  
25 displays, are -- have LEDs light, backlights. So

1 they've become very efficient.

2           And there's -- this slide shows that  
3 there is a decline in number of -- small size  
4 monitors are declining, whereas, there is a  
5 little bit of increase in the larger-size  
6 computer monitors market there.

7           And this one shows, overall, there is a  
8 decline in the computer monitor sales and -- on  
9 the consumer side, and the previous slide was the  
10 residential monitors. So there's, overall, a  
11 little bit of decline in computer monitor sales.  
12 But the sales of the larger sizes, a little bit  
13 up, whereas, the small sizes is going down.

14           And we estimate the computer stock for  
15 California for residential -- it's about 12.68 --  
16 687 million monitors for the residential, and  
17 commercial is 8.474 million. So the total stock,  
18 we estimate, is 21.1 million computer monitors in  
19 California. And this data is collected based on  
20 the Fraunhofer report. For the residential  
21 stock, we have taken from the 2014 Fraunhofer's  
22 study. And the commercial computer monitors  
23 stock is based on the 2009 Navigant study.

24           And we also have taken the duty cycle, we  
25 look at different studies, and -- and the



1 residential annual duty cycle, we took it from 4  
2 and a half for 2014 study. And also the  
3 commercial computer monitors duty cycle, we have  
4 extracted from the Navigant study of 2009.

5           So we find that, you know, the energy  
6 consumption of the computer monitors, the ones  
7 which are noncompliant with the proposed  
8 standard, is about 60 kilowatt hours a year. And  
9 the ones that meet the standard are -- consume  
10 about 32 or 33 kilowatt hours a year.

11           So there is a significant increase in  
12 power consumption if -- you know, with the  
13 proposed standards.

14           So the lifecycle cost and per-unit  
15 savings, we estimate the -- it's going to be  
16 incremental costs, it's going to be about \$5, and  
17 the energy savings over a six-year lifecycle, it  
18 will be around \$5 or \$6 a year, \$4 to \$5 a year,  
19 so the total estimated savings over the lifetime  
20 is \$26.54. And the lifecycle savings  
21 approximately \$21.54. So there's a significant  
22 energy savings in this measure.

23           So the statewide energy savings we have  
24 calculated to be 585 gigawatt hours a year. And  
25 that equates to \$457 million over the -- when all

1 the existing stock is replaced. And the  
2 first-year savings will be around \$15.93 million  
3 a year, first-year savings.

4           Technical feasibility of these computer  
5 monitors. There are already some measures that  
6 can be applied to meet the standard. Number one  
7 is the backlight unit, which is -- the average  
8 computer monitor consumes 40 to 60 percent of  
9 power in backlight units. So improving the  
10 backlight unit, the lamp efficacy, by using  
11 efficient LEDs or more efficacious LEDs, would  
12 produce the -- would lead to less power  
13 consumption and improving the LED efficiency from  
14 110 lumens to 150 lumens would significantly  
15 improve the efficiency of the backlight unit.

16           We have looked at the data provided by  
17 IOUs and also NRDC and others, and find that  
18 there's going to be 8 to 30 percent energy  
19 savings with a moderate increase in cost when we  
20 use the efficient LEDs in the backlight unit.

21           And, then, there's, you know, the other  
22 factor is the LED crystal display  
23 transmissibility. The higher the panel  
24 transmittance, you know, by optimizing the pixel  
25 design and transmitters of the panel function

1 layers can be improved by using color filter,  
2 polarizers, and reflective polarizing films. And  
3 these films can improve because of the  
4 reflectance, because most of the light produced  
5 by the backlight unit is -- goes to waste if  
6 you -- if there's no films. So 100 percent of  
7 the light can be recycled and reused from the  
8 backlight unit by using those polarizing and  
9 reflective films.

10           The other factor that can contribute to  
11 the efficiency of the units is use of efficient  
12 power supply. You know, using the 80 PLUS power  
13 supply and also the 88 percent if there's an EPS,  
14 you know, with the monitor, the new DOE standards  
15 also are set at 88 percent efficiency of the EPS.  
16 So those can be used to improve the efficiency of  
17 the power supplies. Again, the power supply  
18 efficiencies are very low, and replacing it,  
19 replacing the power supply, with the efficient  
20 power supply can -- you know, there's --  
21 significant energy savings can be achieved. And,  
22 you know, it's easy to meet the standard.

23           And, also, the USB power monitors, if the  
24 video and power are fed over one single USB, it  
25 will save energy also.

1           And then the fourth factor is the --  
2 limiting the brightness by using the automatic  
3 brightness control. Also, setting up the default  
4 brightness 200 nits or less, depending on where  
5 the monitor is. And it can -- if the brightness  
6 is set up at 208, it results in a 15-percent  
7 reduction in power consumption with no increase  
8 in cost. And, also, reducing the default  
9 brightness by using automatic brightness control,  
10 you know, the ambient light sensor can be used to  
11 measure the light and adjust the levels. And,  
12 also, using the software to interpret the ambient  
13 light levels and translate them to a particular  
14 display brightness. And the -- also the ability  
15 of the display to dim the light manually or via  
16 automatic would save significant energy in the  
17 monitors.

18           Other pathways include use of quantum dot  
19 technologies. That is currently being offered by  
20 multiple suppliers and use of OLED lights, OLED  
21 monitors, they do not require backlight and light  
22 filters. So there are other technologies that  
23 are available.

24           So this slide is about the cost  
25 efficiency improvements over time. We have

1 noticed that the cost of -- the incremental cost  
2 has gone down over -- from 2013 to, you know, the  
3 re-estimating in 2016. This is what the cost of  
4 improvement is going to be. It was around \$10 to  
5 \$12, now it's coming down to \$5 or less.

6           That was for the 22-inch monitor screen.  
7 But the others also saw -- show the same  
8 improvement in the cost of -- incremental cost.

9           So computer monitor efficiency for the --  
10 the incremental costs for the 27-inch is -- also  
11 have gone to less than \$5.

12           And, now, I'm going to move to the  
13 signage displays. Digital signage displays are  
14 covered under the existing television standards.  
15 IOU's market survey shows that not all  
16 manufacturer have been compliant with the  
17 existing standards. So clarification to  
18 definition and harmonizing CEC's definition with  
19 industry-accepted definition, the exception is  
20 that there will be greater compliance with the  
21 existing standards

22           So, again, the signage display shipments  
23 are -- the sizes are -- 45 to 49 inches is the  
24 most common, and that's 39 percent of the share  
25 of the market there. So those are big. And also

1 50 to 59 is another 20 percent. So it's a huge  
2 energy consumption, and we don't know how many of  
3 these displays are compliant and how many of them  
4 are not. So clarification will add to the energy  
5 savings.

6           And these are, again, the digital  
7 signage, the specifications, also the sizes that  
8 are most commonly used, 32 to 55 inches. They're  
9 all over the place. The signage displays are at  
10 the airports, hospitals, and all these public  
11 places. So they're being, you know, extensively  
12 used and their usage has gone up.

13           Again, the market shows the size  
14 increases and the -- there is an increase in the  
15 number of units sold.

16           This is another bar graph that shows that  
17 the shipments are on the rise from 300 million to  
18 now they're 400-and-some million. I'm sorry  
19 400,000.

20           So the annual shipments and the equipment  
21 lifetime of these is -- the lifetime of the  
22 displays is 7.5 years, 7 and a half years, and  
23 the estimated shipments are approximately 60- to  
24 70,000 a year. And the California stock is  
25 around 450,000 in displays.

1           We have taken this duty cycle from our  
2 televisions when we did the television  
3 regulations, but these signage displays are on  
4 almost 24/7, but -- you know, in most places, but  
5 it's also -- we have looked at it and we come up  
6 with a -- 18 hours of full time and 6 hours of  
7 sleep time for these. So the total on hours a  
8 year is 65, 70, and they're in the sleep mode for  
9 2,190 hours a year. So assuming they are  
10 365 days in operation, which they are. And the  
11 energy consumption of the non-qualifying, or the  
12 ones which do not meet the standard, we estimate  
13 the unit energy consumption of these monitors --  
14 these displays to be 1,174 hours from 4 kilowatt  
15 hours. And the qualifying are the ones that meet  
16 the standard, is 608 kilowatt hours a year. And  
17 this is a standard that we, you know, with the  
18 television -- calibrated with the television  
19 standard.

20           But we are looking into also -- because  
21 the stakeholders are proposing that we go more  
22 stringent on these displays. So we are going to  
23 receive some comments from the -- -- we are  
24 looking for the comments from the stakeholders to  
25 make sure that, you know, if this is the right

1 level of standard or we need to make a more  
2 stringent standard for these displays.

3           I also want to mention, on the enhanced  
4 performance computer monitors, we have -- we are  
5 seeking comments on that. We have not decided  
6 what to do with it at this time, although we had  
7 a discussion and we -- we are looking for some  
8 more data, as well as the comments from the  
9 stakeholders, that those enhanced performance  
10 displays are covered. And we going to cover  
11 those under the -- the proposed regulations, but  
12 we'd like to hear from the stakeholders that --  
13 what is the adder we need to have? So we would  
14 like to receive comments on that.

15           So, with that, if there's any comments or  
16 questions, or we can do it afterwards.

17           UNIDENTIFIED MALE SPEAKER:  
18 (Indiscernible).

19           MR. SINGH: Yes. And, also, I want to  
20 add to here also that we are open to the -- you  
21 know, any request for data. Whatever data we  
22 used, we have that and we can provide that. And  
23 we want the stakeholders -- if anybody wants to  
24 discuss that, we are open to it and would like to  
25 do that.



1           With that, I think move to the next one.

2           MR. RIDER: Yeah. Let's -- so we have a  
3 few presentations that were submitted on  
4 displays. Oh, shoot. Okay. Hold on.

5           MR. SINGH: You got distracted on that.

6           MR. RIDER: Just a minute, folks. Let me  
7 get this thing straightened out here.

8           (Pause.)

9           MR. RIDER: Do we have someone in the  
10 industry who can get this PDF thing straightened  
11 out? So if you're listening to us, Cisco  
12 WebEx -- I'm just kidding. Almost got it all  
13 straightened out. If we could just -- everyone  
14 just turn your head like this, and we'll be --  
15 okay. That's good. All right.

16          MR. HOLLENBECK: All right. Thank you.  
17 Thanks for fixing that.

18          Okay. Mark Hollenbeck with HP again,  
19 representing industry through ITI and TechNet.

20          I'm going to be covering computer  
21 displays. And, again, focusing on customers that  
22 buy them and what we're seeing as far as an  
23 impact associated with what's been proposed to  
24 date. I will mention, I was just thinking about  
25 the data that Harinder just presented. It's

1 worth noting again that we really want to see the  
2 data that was underlying your analysis in the  
3 proposal so that we can better understand where  
4 you're coming from.

5           Okay. So I'm going to talk, again,  
6 hopefully, not too long, on customer --  
7 customers: Their use profiles, display  
8 families -- they're certainly a lot of  
9 similarities to the computers that we covered  
10 earlier today because they're part of the  
11 system -- get into the impacts with what we're  
12 seeing, talk about the specific impacts  
13 associated with the modal limits, talk about  
14 sleep mode, talk a little bit about enhanced  
15 performance displays, and do a wrap-up.

16           So we've already talked about customers  
17 in general and with PCs. Here, we're simplifying  
18 it a little bit. You've got basically, you know,  
19 your home users on the left, business users in  
20 the center, and then professionals.

21           And starting at the left, we've got users  
22 that are using smaller displays, mobile displays,  
23 but that are still stand-alone displays. These  
24 displays are different by design, and are used  
25 mainly for accessing the Internet, basic

1 productivity software, doing e-mail. Similar to  
2 the kind of display that you would see on a  
3 traditional notebook. These are certainly not  
4 equivalent in performance or even cost to a  
5 traditional larger desktop display.

6           Okay. And then talking a little bit  
7 about customers that are both in the home and  
8 office. These are what I would call traditional  
9 desktop displays, and they're used for the same  
10 types of activities we discussed earlier with  
11 desktops and notebooks. And if you're doing both  
12 at-home and in-business basic productivity  
13 activities, accessing the Internet as well,  
14 writing e-mail, getting -- managing documents, as  
15 well as graphics and videos. And, of course,  
16 home users -- hopefully, limited to home users --  
17 watching movies on computers as well.

18           And when you start thinking about  
19 professional users of displays, this doesn't  
20 correlate exactly with, you know, what we were  
21 talking about as far as high -- high-end  
22 desktops, because this category includes displays  
23 that are used with the workstations. And some of  
24 them, the models that are marketed for use with  
25 workstations, fit into the enhanced performance

1 display category, and they have a much higher  
2 level of performance that they offer, as well as  
3 the price point.

4           And so the activities that are performed  
5 with these kinds of displays really are clearly  
6 the basic office productivity type activity, but  
7 you also get into professional use. And you can  
8 see users -- we have some users that use our  
9 displays for doing creation of graphics, creation  
10 of animated movies. You have scientists that are  
11 using these displays, and even they're used in  
12 medicine. So the performance requirements for  
13 these professional displays, which includes  
14 enhanced performance displays, are quite  
15 difficult and substantially higher performance is  
16 required for these types of displays, and the  
17 cost reflects it as well.

18           And then the other category that I'm not  
19 going to talk about at length because, frankly,  
20 \*\*\*we need to tie out with more manufacturers  
21 that make signage products are used \*\*\* for a  
22 completely different application than a desktop  
23 computer would be used for. So we will give much  
24 more input on that with our written comments that  
25 we submit.

1           Okay. I am just going to jump into a  
2 summary of the impacts that we're seeing with  
3 what's been proposed to date. And it's good to  
4 hear that, with enhanced performance displays,  
5 the direction you're headed there, I mean, as far  
6 as I read this spec, if I had to -- excuse me for  
7 fiddling around with that -- if I had to  
8 implement the spec as it's drafted, to be honest  
9 with you, we didn't know if enhanced performance  
10 displays were going to be regulated the same way  
11 as what I would call a traditional desktop. And  
12 that would certainly be problematic. So this  
13 comment about significant risk to customers, we  
14 could probably ignore that, but it still exists  
15 from the standpoint that, if appropriate limits  
16 aren't set for enhanced performance displays,  
17 that would be very problematic. Regulators  
18 throughout the world have looked at enhanced  
19 performance displays, looked at the small market  
20 segment that they represent, looked at the uses,  
21 and concluded that it just didn't make sense to  
22 try and regulate enhanced performance displays.  
23 And that's consistent with what we've been saying  
24 all along.

25           Okay. So, now, let's talk about the

1 proposed on-mode limits that impact displays in  
2 general. Similar to the situation we saw with  
3 desktop PCs, the on-mode limits exceed even the  
4 exclusive Energy Star 6.0 display program limits.  
5 And the impact is not -- it's not the same  
6 depending upon the size of the display, and  
7 you'll see that in a couple of graphs here in a  
8 minute.

9           And really saying many displays are  
10 noncompliant with the proposed on limits, if you  
11 look at displays that are currently on the  
12 market, it's a bit of an understatement. It's  
13 very substantial in the smaller-sized displays,  
14 which is counterintuitive. We don't think that  
15 you intended to do that. I mean, that would be  
16 my impression.

17           At least 90 percent of the displays, the  
18 smaller displays in the 15 to 21-and-a-half-inch  
19 size, would not comply with the limits that have  
20 been proposed.

21           And then you move into the 23-inch  
22 displays and you've roughly at 50 percent that  
23 are noncompliant that are currently on the  
24 market.

25           Larger displays, and this is interesting,

1 have a greater number of models that are  
2 compliant, at approximately 88 percent, which is  
3 counterintuitive because, you know, larger  
4 displays consume more power.

5           There's also some concerns about the  
6 sleep mode limits. And the problem with that is  
7 not so much the basic limit, but it's the fact  
8 that when displays are shipped with added  
9 features and functionality, they're not going to  
10 meet the 1 watt sleep limit -- sleep mode limit.  
11 And we don't know at this point if we can  
12 discount those added features or whether or not  
13 we have to account for those with a sleep mode  
14 limit.

15           But where we have additional  
16 functionality, such as the ones we have listed  
17 here, 1 watt is not sufficient.

18           So here's a chart that provides a little  
19 better look at the displays and accounts for the  
20 pass/fail rate in the different sizes. The one  
21 thing that you have to realize about this, and  
22 we've talked about problems with data, is that  
23 these charts were based on the Energy Star set of  
24 qualified projects. So these failure rates are  
25 going to be higher if you consider all displays

1 that are on the market.

2           And, as I said earlier, if you look at  
3 the diagrams, the -- if you all just look at the  
4 one in the center, if you're looking -- depending  
5 on kind of where you put the range, if you're  
6 looking at, you know, 17 to 23 inches, you've got  
7 just under 50 percent that fail, at 47 percent.  
8 Moving down here for the really smaller ones, as  
9 I said earlier, you know, more than 90 percent of  
10 them failed the proposed on-mode limits. And  
11 then the other displays, you can see the results  
12 yourself.

13           Here's another way to look at the same  
14 type of data. Again, this is for Energy Star  
15 qualified displays only, it doesn't represent  
16 the whole market. And you can see -- it's a bit  
17 of an iChart, but you can see if you look here at  
18 this red line, if you can see that on the screen,  
19 I'm not sure you can, across the bottom, that  
20 represents the proposed on-mode limits that  
21 California had proposed. And, again, and just  
22 like we've been saying, smaller displays, you  
23 know, much higher percentage of compliance.  
24 Noncompliance, move into the mid-range. You  
25 know, you've got -- you know, in the 23-inch



1 range, you have some that meet and some don't,  
2 roughly 50 percent. And then you go into your  
3 larger-size displays, and you have a  
4 substantially higher percentage that comply. And  
5 I just don't think that's what you intended to  
6 do. Maybe it is, but it's a question that ought  
7 to be given some thought.

8           And this is just some more discussion  
9 about the added features that need to be  
10 considered when setting sleep mode limits. You  
11 know, as I said, 1 watt in sleep mode is fine  
12 unless you're having to look at the power  
13 consumption of these added features.

14           Here, we're going to talk a little bit  
15 about enhanced performance displays. And, as I  
16 said earlier, you know, I'm glad to hear they're  
17 not going to be put into the same limits that  
18 traditional computer displays are put into. But  
19 we give just some of the features that an  
20 enhanced performance display offers. So you've  
21 got higher resolution, better viewing angles,  
22 enhanced color.

23           As I mentioned earlier, these displays  
24 are significantly higher in cost, but -- and  
25 there just aren't that many models sold, so a

1 much lower volume. They're traditionally sold  
2 for people that are using high-end desktops and  
3 workstations where they're doing a lot more  
4 detailed graphical-type work. Examples include,  
5 you know, medical, engineering, graphics design,  
6 computer aided design, advanced three-dimensional  
7 modeling, et cetera. Three percent of the models  
8 would fit into this category that are Energy Star  
9 qualified.

10           And it's fairly obvious, or I hope it's  
11 becoming obvious, that with the added  
12 performance, you're also -- you're going to have  
13 higher -- slightly higher power consumption as  
14 well.

15           And then there's some connectivity and  
16 expansion often integrated into these products as  
17 well.

18           So you can just see, at the bottom, the  
19 graph representation as to just how small the  
20 market for enhanced performance displays is.

21 And, as I mentioned earlier, most other  
22 regulators have realized that, with the volumes  
23 being so small and the need so critical, that it  
24 just didn't make sense to try to regulate these  
25 products.

1           So, as I mentioned when I first started,  
2 we really want to see your data. We'd like to  
3 get an idea of why you reached the conclusions  
4 that you did. And then, hopefully, we can come  
5 back and talk some more about that. I think the  
6 data will speak for itself. The data set for  
7 smaller displays, we were given some data on the  
8 smaller displays, and we're a little concerned  
9 about some of these assumptions behind that. And  
10 I think -- I had time to look at two examples  
11 that were provided, and they were USB-powered  
12 portable displays. Those products are not at all  
13 offering the same type of performance you would  
14 see with a traditional desktop. They're low  
15 resolution, and they're not going to be  
16 acceptable for use as a desktop display. And  
17 they're also limited in size. So it would be a  
18 mistake to take data for small USB-powered  
19 displays that provide low resolution in limited  
20 size and scale that up for use in setting limits  
21 on all displays.

22           So with current products that are on the  
23 market now, you're at roughly 90 percent of the  
24 computer displays on the market in the smaller 15  
25 to 21-and-a-half inches. And that's 48 percent

1 of the display market. And I know you're making  
2 some assumptions and projections about what can  
3 be done in the future, but this is a substantial  
4 percentage. And when Gary gets up next, he'll  
5 talk a little bit about some of the technical  
6 reasons why that doesn't make sense.

7           And, as I mentioned earlier at the  
8 beginning, this -- the limits that are being  
9 proposed here for displays are much more  
10 aggressive than Energy Star 6, and even the draft  
11 limits that are in Energy Star 7 for displays.  
12 And we believe that if this were to go forward as  
13 it is written, it would impact customers. So you  
14 need to also consider and work on the added  
15 allowances for additional features on sleep mode.  
16 And then, you know, I hope you'll at least  
17 consider, rather than just setting additional  
18 tolerance for enhanced performance displays, at  
19 least give some thought to, given the size of  
20 that market and the critical need for scientific,  
21 medical, et cetera, uses, that we hope you'd just  
22 consider excluding that from the scope of the  
23 regulation.

24           Thank you.

25           MR. VERDUN: Okay. So I was trying to

1 evaluate cost effectiveness and technical  
2 barriers. And I guess the first thing -- I've  
3 looked at the IOU studies that were provided to  
4 the CEC and I looked at the CEC response. And I  
5 don't see any data anywhere that shows how you  
6 get from one to the other one. So very limited  
7 in what I can say about the actual limits, other  
8 than how they affect existing systems and talk  
9 about some other features, but I can't comment  
10 directly on whatever the CEC done, because we  
11 don't know what it is.

12           I did a quick check, and they talked  
13 about things passing. So from a cost  
14 effectiveness sense, I can't actually do any real  
15 cost analysis on what was presented by them. We  
16 took the Energy Star database Qualified Products  
17 List, and I'll show in our thing later, but one  
18 thing we did as a quick check for cost  
19 effectiveness is I had a coworker who had some --  
20 stole some time and they went and they took the  
21 20-inch displays and they went and looked at the  
22 retail of price those that passed and those that  
23 failed.

24           The passing units were \$20.50 on average,  
25 more expensive than the failing units, using the

1 TEC calculations of the Energy Star, which I  
2 believe they're looking at adopting, they had a  
3 five-year life savings of \$3.60 between the two  
4 of them. It's a quick check. We can probably  
5 find other places where it's not the same. But  
6 it just makes me wonder.

7           There was a comment that 14 percent of  
8 the current models in the Energy Star models meet  
9 the staff's standards and proposals. And they  
10 said monitors would only need to reduce their  
11 power 3 to 5 watts. Nobody said anything about  
12 what is it going to cost that 3 to 5 watts and  
13 exactly what the savings would be in there.  
14 There's some general assumptions later, but  
15 nothing that tells you how they get from here to  
16 there. So I really can't comment on how that was  
17 done, don't know anything about it, really.

18           Some of the vectors they talked about was  
19 high-efficiency LEDs to allow the displays to  
20 meet the more stringent cost requirements.  
21 Didn't really show any cost to volume data to  
22 reference in how they validated it. They did  
23 look at prices a certain different -- I think  
24 LEDs currently on the market. They also mention  
25 in their analysis that you could use higher

1 efficiency LEDs and reduce the number of LEDs and  
2 that helped -- that cost reduction was -- would  
3 help offset the higher cost of the LEDs. There's  
4 one problem with that. The number of LEDs is not  
5 driven by the cost of the LEDs; it's driven by  
6 the capabilities of the optics in the system to  
7 evenly distribute the light.

8           We have looked off previously with really  
9 high-efficiency, high-power LEDs, and tried to  
10 build displays for notebooks using those, and the  
11 problem is the optics. In order for me to get a  
12 sufficient path to adequately mix the light so  
13 you don't have bright spots and dim spots on the  
14 displays, which customers really don't like, I  
15 actually have to bounce the light a bunch of more  
16 times. And I spend a lot of money on optics  
17 paths. And, in notebooks, we absolutely don't  
18 have the space. But the assumption that I can  
19 reduce the LEDs will not work in all cases,  
20 because the minimum number of LEDs is driven by  
21 optics and the ability to mix light so you can  
22 get an even light distribution across the panel.

23           Supply/demand, I don't really see  
24 factored into it. So part of the reason you see  
25 the price delta you do with those more efficient

1 LEDs is because the lower efficient LEDs are  
2 there in volume. If they didn't have those to  
3 compete against, those guys would charge a lot  
4 more. So there's certainly some market factors  
5 that I could see that would oppose the  
6 significant shift within the industry over the  
7 high efficiency LEDs, besides the fact that I may  
8 still need to buy the same number of LEDs, which  
9 breaks the cost model, is the fact that, you  
10 know, if they don't have sufficient supply in  
11 that manufacturer or the existing fabs that built  
12 those, then, you know, the whole cost model falls  
13 apart again.

14           And, then, the other one is, I don't know  
15 what LEDs they looked at, but they may not meet  
16 all of the other design requirements to actually  
17 design them into an actual display or panel  
18 system. Again, we can't comment on that, but  
19 it's -- there are more factors that determine  
20 your ability to design an LED into a backlight  
21 system than just the efficiency of the LED.

22           And I said this before, so the high-  
23 efficiency LEDs and new technology, new  
24 technologies come with a cost premium, over time,  
25 they go down, we can't shift a significant



1 portion to the industry to the higher efficiency  
2 ones believing that their prices will come down.  
3 And when you drive demand for their products, it  
4 just doesn't work. They won't cost the same if  
5 they have a better performance and there's any  
6 kind of higher demand for them.

7           Automatic brightness control was also one  
8 of the things it talked about. We've looked at  
9 this over many years over in notebook systems.  
10 The first single chip automatic brightness  
11 control chip done by a silicon provider was done  
12 in collaboration with Dell, and I led the design  
13 requirements that went into that part, so I'm a  
14 little bit familiar with them.

15           The cost of the part isn't the cost of  
16 what it takes to implement it within a product.  
17 First thing is, I need a clear a window in my  
18 bezel, or I can't see the light in the room. I  
19 need that clear window to be on top of a circuit  
20 board where I can put a sensor, or I have to add  
21 a circuit board, run cables over the circuit  
22 board. So there's, potentially, a lot higher  
23 cost, you know. Over time, you can design  
24 something to do that. If you have to go retrofit  
25 any systems to do this, then that cost is

1 significantly higher than the cost of the LED.

2           And, then, light pipes, clear plastic  
3 windows, you know, changes in toolings to bezels,  
4 those things have a lot higher cost that really  
5 just wasn't factored into the analysis.

6           The next one is, we looked at them for  
7 years in portable, and we had the hardest time  
8 ever getting them into a product because there is  
9 no way I can guarantee that a customer is going  
10 to save energy. And you can't guarantee that  
11 anyone is going to save energy with these.

12           We've done implementations in mobiles and  
13 questioned customers and done customer surveys,  
14 and I can tell you that the first time your  
15 brightness gets below what the customer likes, he  
16 puts the display to maximum and that's where  
17 you're stuck for the rest of the product. So  
18 under certain use conditions, they will save  
19 energy. There's also an equally probable set of  
20 use conditions where they will actually increase  
21 the energy, because I will be increasing the  
22 brightness in a bright room and he might have  
23 lived with what he had, but, you know, I'm doing  
24 ABS, so I'll bring it up. And if I dim it too  
25 much, then, you know, he goes -- customer

1 response is, I'll just go to max brightness and  
2 leave it there.

3           So it's not a bad thing to have. It's  
4 probably too costly. And any model, you know,  
5 you can't assume that all products are going to  
6 actually get energy savings on it, because it's  
7 usage model dependent. And then the other one  
8 is, the more aggressive you get it, more likely  
9 you are to have a customer that takes things in  
10 the completely opposite direction.

11           So we'll take a look -- we used the same  
12 limits, we applied it to the Energy Star  
13 Qualified Products List, so supposedly, the most  
14 efficient products in the market today. This  
15 data set was collected like last week, so it's  
16 the most recent thing that we can get on ones.  
17 But if you look at this, you see that this range  
18 of products in -- let me see the models -- in the  
19 17-to-23-inch range has an 8 percent pass/fail --  
20 pass rate of existing Energy Star products. And  
21 in -- other sizes are different, have different  
22 pass rates. But this one seems to be for -- I  
23 don't know the technical or cost reason, but much  
24 more aggressively regulated than the other  
25 limits. We would certainly like to know what

1 technology gap or, you know, cost problem the  
2 industry has in that particular range that makes  
3 it warrant such a much more aggressive than the  
4 other limit than the other products.

5           If you take that same database and you  
6 break it down by disk space size, and what we did  
7 here was a 10-inch -- well, 10.1 and 12.1, that  
8 was just those sizes in there, it's not a range  
9 of 12-inch products. But for every other one, 17  
10 is everything that was 17, and 17.9 actually went  
11 into the 17 bucket, just because we had to  
12 bucketize them somewhere so you'd understand what  
13 this is.

14           The curved graph on here, this is the --  
15 the trend line for on-mode power, and then the  
16 jagged line is the actual on-mode power for each  
17 of these categories. And then, again, we see  
18 here situations with 12.1-inch displays, even  
19 though they're the lowest on-mode power and  
20 lowest energy consumant [sic] of all the displays  
21 in the QPL, have a 20 percent pass rate. And  
22 then this 17-to-22 range, at 22, we have nothing  
23 that passes the requirement. But this range of  
24 products have an average pass rates of something  
25 under 10 percent of the Energy Star product list,

1 and these supposedly are the best displays.

2           What's unfortunate in here is that these  
3 higher consuming displays that actually have  
4 higher energy consumption, all of those pass  
5 much, much better. They're a lot more lenient on  
6 higher-power displays and more energy-consuming  
7 displays, but something about this range is much  
8 more deserving of a regulation, I guess. We  
9 don't know where it came from, but it's just a  
10 discrepancy we're pointing out.

11           From a technical feasibility standpoint,  
12 I looked at some of the studies done about all  
13 the features that exist within panels and  
14 backlight assemblies and layers and LCD panels,  
15 and, yeah, there's a lot of things in there to  
16 drive energy reduction, those are things that  
17 have been developed over the years to a large  
18 extent by industry beating up on panel suppliers  
19 and mostly in mobile products, because we -- the  
20 panel power on a notebook system is 40 percent of  
21 the total energy consumption at idle and it's  
22 moving up percentage-wise. As we do a better job  
23 of power scaling our system of electronics, the  
24 panel power goes up. Because as physics and the  
25 capabilities of the panel suppliers, you know, at

1 a certain brightness, it takes a certain amount  
2 of energy to make the light, just like it takes  
3 it to make a light bulb. We're already in mobile  
4 using all LED backlights. Many of the LED  
5 backlight systems that are in these panels that  
6 are failing, already have LEDs in them.

7           Another major concern is, since you're so  
8 aggressive here and you don't account for some of  
9 the factors that actually drive significant  
10 energy consumption within a product, color gamut  
11 is one of them in particular. And color gamut  
12 is, to some -- I guess the other term might be  
13 color reproducibility. And there's certain  
14 industries where the ability to accurately  
15 reproduce color on a panel is very essential.  
16 The only way to get there with LCD technology,  
17 unless we find a new technology, is more  
18 aggressive color filters. And color filters  
19 cause you to have less efficiency moving through  
20 the panel. Their transmissivity goes down. And  
21 those are just physics that we can not a void.  
22 And without a proper adder -- there's certain --  
23 the other thing is that there are certainly  
24 customers that care, like the movie industry.  
25 You know, when they're editing films and doing

1 all their stuff, they kind of want colors on  
2 their screen to look like they actually want it  
3 to look on the screen at the movies.

4           So if you don't allow -- this is one of  
5 those features that in the more high-performance  
6 display kind of thing, and that's where we think  
7 it's really essential that we have to be able to  
8 do that. Because if you want -- you know, I can  
9 make a very low-power display, I'll give you low  
10 pixel resolution, really poor color  
11 reproducibility, and it's not very bright, and  
12 it, you know, it will pass the limit easy, but  
13 customers want those features.

14           There was also a bunch of high-efficiency  
15 things described. And I know they're not  
16 necessarily used. I'm assuming from what I read  
17 that they weren't necessarily used in the  
18 predictions in setting limits that the CEC did,  
19 but one of these things was Quantum Dots. The  
20 cost estimate may not be accurate. I can tell  
21 you that display manufacturers have been looking  
22 at those capabilities and testing them to put  
23 them into panels, and it's never been cost  
24 effective. They've never been able to do it at a  
25 cost that anybody is willing to pay for. So the

1 technology is interesting, Quantum Dots in  
2 particular, I produce color at three primary  
3 colors. I can use a lot selects, color filters,  
4 and I get better -- good front-of-screen  
5 performance about better transmissivity. The  
6 problem right now is being able to do it in  
7 volume at a cost point that the industry -- that  
8 anybody can accept and still sell panels to end  
9 users.

10           So the whole power modeling for  
11 resolution differences really wasn't accounted  
12 for in there, so I can't talk a whole lot of  
13 detail in that.

14           This is one of the particular studies  
15 where they took two panels of different -- of  
16 different resolutions from the same manufacturer,  
17 supposedly the same technology. If you have  
18 significantly different pixel densities, your  
19 mother glass may be different, you may be built  
20 in a different fab. The two systems nobody  
21 accounted for were the power supplies, the exact  
22 same power supply -- did you have the same power  
23 supply efficiency? Did all the other adders  
24 people had in those systems the same? USB ports  
25 they had on it? So there was a lot of



1 unaccounted-for variables in there, in the model  
2 they used to set, you know, energy use versus  
3 pixel density.

4           And then we get back to the same thing,  
5 is, you know, the whole problem with testing a  
6 very small number of systems and assuming that  
7 all those potential gains can be applied to mass  
8 production. Mass production has a problem with  
9 having to be able to use multiple suppliers, so  
10 you can keep the factory going, and having to do  
11 with real-world unit-to-unit variation and, you  
12 know, distribution -- energy consumption  
13 distribution across, you know, long-term power  
14 production.

15           And that was it. So you didn't have to  
16 make me stop this time.

17           MS. PETERSCHMIDT: Hi. I'm Gabriele  
18 Peterschmidt from HP, and I'm doing the  
19 concluding slide.

20           There have been very comprehensive  
21 presentations today, so the points that are in  
22 these closing statements will be familiar to you.

23           With what ITI and TechNet knows about  
24 customer needs, there are significant concerns  
25 with CEC's initial regulatory proposal both from

1 a technical and cost perspective. ITI and  
2 TechNet recommend two things to help resolve  
3 this. One is that CEC provides the analysis and  
4 data CEC used in drafting the computer and  
5 displays energy efficiency regulatory  
6 requirements. And the second, as has been  
7 brought up earlier, is that ITI and TechNet  
8 recommends a full-day technical meeting between  
9 our industry, CEC staff, and other stakeholders.  
10 This meeting should include demos and other means  
11 for building agreed fact-based technical  
12 foundation for moving forward. We were  
13 suggesting late May for this meeting.

14           ITI and TechNet believes that when there  
15 is shared information and common understanding,  
16 we can arrive at progressive and meaningful  
17 goals. ITI and TechNet will be providing CEC  
18 additional recommendations for scope of these  
19 regulations, categorization, recommended limits  
20 and power-management language.

21           Thank you.

22           MR. KUCH: All right. Okay, hi. My name  
23 is Chris Kuch, and I'm with  
24 Southern California Edison. I'm speaking on  
25 behalf of the California Statewide IOU Codes and

1 Standards Team.

2 First off, I would like to thank the  
3 Energy Commission staff for the opportunity to  
4 present today and for working very hard on this  
5 very important topic.

6 Before I hand it off to our technical  
7 support team, I just want to make a couple of  
8 quick points. First, there is a large range of  
9 energy efficiency between monitors and signage  
10 displays of similar size and feature sets. And  
11 this presents a great opportunity to capture  
12 significant savings. And we have conducted  
13 testing to show that there are hardware and  
14 software solutions to reduce this energy waste  
15 and that are also cost effective.

16 We are generally very supportive of the  
17 CEC proposal, although we do see several areas  
18 for improvement, which we'll cover in this  
19 presentation.

20 So, next, I would like to introduce our  
21 consultants who provided the technical support  
22 for this topic. That's Bijit Kundu from Energy  
23 Solutions and Clancy with Ecova.

24

25 MR. KUNDU: Thanks, Chris.

1           So, in California, we're seeing the  
2 energy use of consumer -- of computer monitors,  
3 see it's significant and it's growing in some  
4 sectors. Larger, higher resolution monitors are  
5 increasing in shipments in the commercial sector.  
6 These monitor types are also more energy  
7 consumptive than the smaller lower resolution  
8 monitors.

9           Also we see a wide variation in on-mode  
10 power consumption among models of the same sizes,  
11 resolutions, and feature sets. In some cases, an  
12 inefficient model can consume up to five times  
13 more energy than a similar-sized efficient model.

14           So as Chris mentioned before, and I think  
15 as CEC staff has mentioned, we see a significant  
16 opportunity for a significant cost effective  
17 energy savings here.

18           So the California IOUs believe that the  
19 CEC's proposed on-mode levels are reasonable with  
20 two adjustments that are noted in this red box  
21 here. In the staff report, they were negative  
22 signs -- or they were positive signs, and we  
23 believe that they should be adjusted to the  
24 negative signs. And I think that's what the CEC  
25 staff presentation displayed, the appropriate

1 equations with negative signs on the two  
2 equations noted here.

3           So based on the California IOU testing,  
4 we think that the case team thinks the adjusted  
5 on-mode power -- on-mode proposal is cost  
6 effective using widely available off-the-shelf  
7 technologies.

8           There are other aspects of the staff  
9 proposal that we'll comment on later on in this  
10 presentation, but we just wanted to note that the  
11 -- we're generally supportive of the on-mode  
12 proposal for computer monitors.

13           And some of the subsequent slides you'll  
14 see are -- will show why we're supportive of  
15 these levels.

16           So this graphic just shows computer  
17 monitors of two megapixels or lower that are  
18 available today that would meet the CEC proposal.  
19 Currently, you can see a wide range of currently  
20 available models from all screen size, from  
21 10 inches, at the lowest end, to 32 inches. This  
22 actually -- this graph doesn't show, there's some  
23 40-inch models that would meet the CEC proposed  
24 levels. And this graph also doesn't show models  
25 that just are within a few percentage points of

1 the CEC on-mode proposal. So that's, said in a  
2 different way, more models would be able to meet  
3 the on-mode proposals by making relatively small  
4 modifications to the power consumption.

5           So not only do we see a wide range of  
6 screen sizes, but we're also seeing a wide range  
7 of resolutions that are able to meet the CEC  
8 on-mode proposal. So, here, you see the blue  
9 dots are the two megapixels in lower models that  
10 meet today, again, these are models that don't  
11 need to make any additional modifications to meet  
12 the standards. So you see the blue megapixel  
13 models, which we displayed in the previous graph,  
14 but you also see the larger resolution models  
15 that are able to meet -- again, today's models  
16 currently available on the market that can meet  
17 the standard.

18           You can see the wide range of  
19 resolutions. You can see two megapixels, 2.3  
20 megapixels, all the way up to 4 and 5K models.  
21 The newest highly featured set models are able to  
22 meet California's on-mode proposal -- or the  
23 CEC's staff report on-mode proposal.

24           So I think that a previous stakeholder  
25 noted that -- I think this chart of available

1 models just notes that this covers a broad range  
2 of applications here, not just the standard 2-  
3 megapixel models, but also some of the more  
4 highly featured models used for professional  
5 applications.

6           So based on testing conducted by the  
7 IOUs, the CEC's proposal, the test results from  
8 the IOU studies have shown that the CEC's  
9 proposal is cost effective. This is just one  
10 example of a 22-inch monitor that would not meet  
11 the standard and what it would need to do in  
12 order to meet the on-mode proposal. You can see  
13 the design options listed here on terms of the  
14 improvements, and the incremental cost to  
15 implement those design options.

16           It's important to note that the source of  
17 this cost data was industry-accepted sources like  
18 DisplaySearch, as well as other industry expert  
19 input.

20           And the methodology of this analysis is  
21 in the technical report that the California IOUs  
22 have submitted to CEC previously.

23           This is another example, or actually two  
24 examples, of a 27-inch representative model that  
25 would not otherwise meet the California IOU --

1 sorry, the CEC staff proposal, and the different  
2 approaches it could take -- you take to meet the  
3 on-mode levels. So you could see here, in one  
4 pathway, you've got a set of design options to  
5 increase lamp efficacy, reduce screen default  
6 brightness and add dimming capabilities for a \$2  
7 to \$3 incremental cost. And the second approach  
8 here is -- lists out for \$5 to increase the lamp  
9 efficacy even more and just reduce screen  
10 brightness.

11           And, again, you know for all of these  
12 examples, there were other multiple pathways.  
13 And I think the point here is that, you know,  
14 there's not just one way to meet the standard and  
15 there's not -- you know, you don't need Quantum  
16 Dots or you don't need OLEDs to meet the proposed  
17 levels. These are off-the-shelf technologies.

18           When we talk about kind of the cost to  
19 consumers, this slide shows an exhibit, or two  
20 examples, of two monitors we -- similar feature  
21 sets, similar size. This is a 22 -- these are  
22 22-inch monitors. So you can see here the retail  
23 price is listed out for a model that would meet  
24 the proposal versus one that would not meet the  
25 proposal. The one that would meet the proposal



1 is actually cheaper than the one that actually  
2 that would not meet the proposal, by \$10. And  
3 then we've calculated the lifetime cost here of  
4 the two models and, of course, the one that would  
5 meet proposal, that's cheaper -- or less  
6 expensive, I should say -- and that is, not  
7 surprisingly, less expensive when you calculate  
8 the lifetime cost. And the lifetime cost just  
9 calculates what the energy consumption would be  
10 over the lifetime of the product and the cost to  
11 the consumer for that.

12           This is an example of two, 27-inch  
13 monitors that would meet the -- or one that would  
14 meet the on-mode proposal and one that would not  
15 meet. In this case, the one that would meet is  
16 more expensive by a few dollars, but then when  
17 you calculate the lifetime costs here, you can  
18 see that the overall lifetime costs of the model  
19 that would meet the proposal is less expensive  
20 than the lifetime cost of the one that would not  
21 meet the proposal over the lifetime of the  
22 product.

23           Shifting gears a little bit, just talking  
24 about the test procedure, I think the California  
25 IOU team supports the Energy's -- reference to

1 the Energy Star test procedure Version 6 with two  
2 exceptions. I think, one, we would want the  
3 testing to be conducted as shipped for in the  
4 default -- factory default settings rather than  
5 calibrated to 200 candelas per meter squared.  
6 And I think that's -- you know, I think we see  
7 that when the settings that are shipped in  
8 factory default, or most often this -- the  
9 settings that are in actual use. And so to  
10 better reflect actual energy usage, we would  
11 recommend the default settings to be -- and the  
12 testing to be conducted in the default settings.

13           And then if testing is conducted at  
14 default, we would want some requirement, the IOU  
15 team would want some requirement, that the  
16 luminesce in the default should be within a  
17 certain percentage or 65 percent of the luminesce  
18 in the brightness setting just to ensure  
19 acceptable -- an acceptable picture out of the  
20 box. We saw this with TVs, and I believe it's a  
21 requirement for TVs as well.

22           So I won't get into any of these bullets  
23 right now for time's sake. As noted previously,  
24 the IOUs are looking into several other items of  
25 the CEC staff report and we'll be providing more

1 detailed information in our written comments.

2           The items that we're looking into are  
3 listed here, revisiting the standby and off-mode  
4 requirements.

5           What we've seen is that a vast majority  
6 of the models available on the market today can  
7 meet the sleep and off mode -- and when I say  
8 "vast majority," I think all about less than  
9 two percent on the market, a handful of models  
10 that have a standby of greater than 1 watt.

11           So we're looking into -- or we're looking  
12 into an analysis to revisit the standby and  
13 off-mode levels. And I think one of the previous  
14 stakeholders kind of noted the disjointed  
15 quality -- you know, qualifications or on-mode  
16 levels. I think we'd like to investigate a  
17 continuous line approach similar to what Energy  
18 Star is proposing in Version 7. Not a similar  
19 line, but a similar approach of a continuous line  
20 instead of the screen size bins.

21           I think we're also -- the case team is  
22 also looking into flattening out the on-mode  
23 curve at larger screen sizes, reexamining the  
24 reducing the resolution adder for larger  
25 resolutions, including power management

1 requirements. And, finally, I think it was noted  
2 previously, consideration of an adder for  
3 enhanced performance displays and the added  
4 features and functionalities of those products.

5           So switching gears a little bit and  
6 talking about signage displays, I'll try to run  
7 through this in the interest of time. You know,  
8 we see energy use of signage displays growing.  
9 The shipments are increasing about 10 percent  
10 every year in California of -- for signage  
11 displays. Signage displays are typically  
12 brighter and larger than TVs and, therefore, more  
13 energy consumptive. In fact, the unregulated  
14 sizes of signage displays, that is greater than  
15 1,400 square inches, they comprise a third of all  
16 total shipments of signage displays. So there's  
17 a huge opportunity here. And unlike TVs, which  
18 are typically -- I believe the CEC staff  
19 mentioned this, unlike TVs which are typically on  
20 just five hours a day, some signage displays are  
21 on three to four times greater than the  
22 five hours.

23           This plot just kind of visually shows you  
24 the difference in just the on-mode power,  
25 difference between signage displays and TVs here.

1 The TVs are the orange dots, and the signage  
2 displays are the blue dots. So you can see, in  
3 some cases, signage displays can draw almost four  
4 times more power than a TV of the similar size in  
5 on mode. And when you calculate the daily duty  
6 cycle, with the duty cycles being three to four  
7 times greater, now you're talking about a 12X  
8 difference, 12 to 16X difference, in overall  
9 energy consumption.

10 So because of these reasons, we -- we  
11 support CEC in clarifying the applicability of  
12 the current standards to signage displays, and we  
13 support consideration of a more stringent on-mode  
14 level across all screen sizes up to 1,400 square  
15 inches and beyond within the scope of this  
16 particular rulemaking.

17 IOU testing results indicate more  
18 stringent on-mode levels are cost effective and  
19 technically feasible, and we'll be -- the IOU  
20 team will be submitting comments, more detailed  
21 comments, with the cost effective analysis to the  
22 CEC in written comments.

23 And one other note is that we do think,  
24 based on the testing that we've done, that  
25 on-mode equation should account for both

1 luminesce and screen area, which I believe Energy  
2 Star Version 7 is also considering for their  
3 signage display update.

4           So here's just a summary of the key  
5 points from the presentation today. CEC's  
6 on-mode proposal with the noted adjustments that  
7 we called out is technically feasible and cost  
8 effective across all screen sizes and  
9 resolutions. CEC should consider lowering  
10 standby and off-mode levels, and testing should  
11 be conducted in default settings for computer  
12 monitors. For signage displays, we think CEC can  
13 set more stringent on-mode levels, and that on  
14 mode -- and more stringent levels are cost  
15 effective and technically feasible. And signage  
16 displays larger than 1,400 square inches account  
17 for a third of the market and should, therefore,  
18 be included in this rulemaking.

19           Thank you for this the opportunity for  
20 talking today.

21           \*\*\*MR. SINGH: Thank you, Bijit.

22           With that, we'll take the questions from  
23 the -- do you have blue cards, Ken? Any? Okay.

24           If any of you have any comments, you  
25 know, you can come to the podium and make the

1 comments.

2           Okay. If not, you want to check the  
3 comments on the computer again.

4           MR. RIDER: Let's see here.

5           Yeah, if you have an interest in  
6 commenting and you're on the phone, just ask that  
7 you raise your hand and we will unmute you, or  
8 write something and chat, too, and I'll meet you  
9 if you say something to me.

10           Okay. I'm going to go ahead and unmute  
11 folks that are just calling in without WebEx  
12 access. And your lines are unmuted if you're  
13 just a call-in user. If you'd like to make a  
14 comment, this is your opportunity.

15           (No audible response.)

16           MR. RIDER: Okay. Don't hear any. So, I  
17 guess, just to wrap up the workshop then, you  
18 know, this is -- we had a great meeting. This is  
19 exactly what these workshops are designed to do  
20 and why we don't just do rulemakings directly,  
21 because it's so critical to have industry  
22 feedback. It's really important to have a  
23 standard to talk about to do that. This draft  
24 standard is that standard. And I think we had  
25 really fruitful conversation, it sounds like.

1 And we certainly will be in continued  
2 conversations about where the next draft might  
3 go.

4 And thank you all for taking the time to  
5 travel out here, spend a pretty good part of a  
6 day in this room together working out potential  
7 standards for computers and displays.

8 MR. SINGH: I just want to mention one  
9 more thing, that the comment period is till  
10 one month --

11 MR. RIDER: May 15th?

12 MR. SINGH: Yeah, May 15th. So, you  
13 know, we are looking forward to receiving your  
14 comments on May 15th or before that.

15 MR. RIDER: Yeah. And just to be clear,  
16 too, I mean, if you have any questions or  
17 clarifying needs on the staff report or things  
18 that we said today or whatever, Harinder and my  
19 contact and our presentations, those will be on  
20 the web. If they're not -- I think they already  
21 are on the web. And just feel free to call us or  
22 send us an e-mail and don't wait until public  
23 comment to get that resolved.

24 Thanks.

25 Sure, go ahead, Shahid.



1 MR. SHEIKH: Shahid from Intel.

2 Regarding the submission by May 15th, one  
3 of the request that industry had was to get some  
4 more data available, you know, not just the final  
5 numbers but data behind the numbers. Would CEC  
6 be open to sharing that and making it available  
7 so that we can have a meaningful response?

8 MR. RIDER: Well, what I think what we  
9 need to do is figure out the disconnect here.  
10 Because we put out a staff report we felt was  
11 supported with data. You guys -- and I'm not --  
12 you know, let's figure out what the disconnect  
13 is, and then we'll do our best to close that. I  
14 think talking with you and maybe take this  
15 offline, we'll talk about the best way to get  
16 that. And, certainly, we'll try to make sure you  
17 have everything you need to make substantive  
18 comments before the end of May, before the  
19 comments are due. But how that's done, let's  
20 work -- let's talk and --

21 MR. SHEIKH: Yeah. I think the staff  
22 report summarizes some of your conclusions, but  
23 there may be data behind the scenes that we just  
24 don't have, that we're not privy to. That's what  
25 we're --

1           MR. RIDER:  Yeah, and I think there's  
2 some very specific areas that you're more  
3 interested than others.  Let's talk, figure out  
4 what those are --

5           MR. SHEIKH:  Okay.

6           MR. RIDER:  -- and we'll see what we can  
7 do.

8           MR. SHEIKH:  All right.  Thank you.

9           MR. SINGH:  Okay.  Thank you everybody  
10 for joining it, and this concludes our  
11 presentations and the workshop.  
12 Thank you.

13                   (Whereupon, the workshop concluded  
14   at 4:24 p.m.)

15

16

17

18

19

20

21

22

23

24

25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 12th day of May, 2015.



---

PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 12th day of May, 2015.



---

Kelly Farrell  
Certified Transcriber  
AAERT Certified CET\*\*772  
AAERT No. CET\*\*772