

**DOCKETED**

<b>Docket Number:</b>	23-IEPR-03
<b>Project Title:</b>	Electricity and Gas Demand Forecast
<b>TN #:</b>	253848
<b>Document Title:</b>	Transcript of 11-15-23 for IEPR Commissioner Workshop on Load Modifier Results
<b>Description:</b>	N/A
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	1/10/2024 8:38:26 AM
<b>Docketed Date:</b>	1/10/2024

STATE OF CALIFORNIA  
CALIFORNIA ENERGY COMMISSION

In the matter of:

IEPR Commissioner	)	
Workshop on Load Modifier Results	)	Docket No. 23-IEPR-03
	)	
	)	Re: Load Modifier
_____	)	Scenario Results

IEPR Commissioner Workshop on Load Modifier Results

ONLINE BY PHONE AND VIA ZOOM

WEDNESDAY, NOVEMBER 15, 2023

10:00 A.M.

Reported by:

Elise Hicks

APPEARANCES

COMMISSIONERS

Siva Gunda, Vice Chair, CEC

Patricia Monahan, Lead Commissioner for the 2023 IEPR, CEC

CEC STAFF

Heather Raitt, IEPR Director

Quentin Gee

Maggie Deng

Liz Pham

Heidi Javanbakht

Jesse Gage

Ingrid Neumann

Nick Janusch

Ethan Cooper

Alex Lonsdale

Mark Palmere

PUBLIC COMMENT

Brandon Serna

---

INDEX

<u>ITEM</u>	<u>PAGE</u>
1. Welcome and Introduction	4
2. Opening Remarks	5
3. Transportation Forecast and Additional Achievable Transportation Electrification	8
4. Closing Remarks for Morning	67
5. Break	67
6. Welcome Back	67
7. Remarks from the Dais	68
8. Programmatic Additional Achievable Energy Efficiency (AAEE) and Additional Achievable Fuel Substitution (AAFS) Draft Results	68
9. Results from Incorporating Zero-Emission Appliance Standards into AAFS	92
10. Behind-the-Meter Distributed Generation Forecast Draft Results	137
11. Public Comments	168
12. Closing Remarks and Adjourn	170
Adjournment	171

P R O C E E D I N G S

1  
2 WEDNESDAY, NOVEMBER 15, 2023 10:00 a.m.

3 MS. RAITT: Good morning. Welcome to today's  
4 Commissioner Workshop on Load Modifier Scenario results.  
5 I'm Heather Raitt. I'm the Director for the Integrated  
6 Energy Policy Report or the IEPR for short. This workshop  
7 is being held as part of the CEC's proceeding on the 2023.  
8 So today is a remote only workshop and so we're using Zoom.  
9 It's being recorded and we'll post a recording of the  
10 workshop shortly afterwards. And then a written transcript  
11 will follow in about a month or so. And the schedule for  
12 today's meeting and all the slide decks are posted and  
13 docketed on the Energy Commission's IEPR web page. You can  
14 find it there. We'll have a number of staff presentations  
15 today. And then following the presentations, we'll have  
16 some opportunities for comments or excuse me, questions  
17 from attendees. You can use the Zoom Q and A feature if you  
18 have a question you want to type in.

19 MS. RAITT: And then if you see a question there  
20 that looks like one that you had, you can also just upvote  
21 an existing question, hit that thumbs up icon and it'll  
22 upvote it. And then finally, at the end of the day, there's  
23 an opportunity for public comment and we welcome comments.  
24 We'll be limited to them to three minutes per person, one  
25 person per organization, please. And we will not be

1 responding to comments or questions from public comment,  
2 but we look forward to hearing them. And then finally, also  
3 written comments are welcome and they are due on December  
4 1st. And with that I'll pass it over to Vice Chair Gunda,  
5 who is the lead for the forecast. And then Commissioner  
6 Monahan has also joined us and she's the lead for the 2023  
7 this year. Thanks.

8           VICE CHAIR GUNDA: Thank you, Heather. I just  
9 want to begin by welcoming everybody that joined the call  
10 today to get through the forecasting draft results. Just  
11 want to acknowledge the participation of the interagencies  
12 in what we call the Joint Agency Steering Committee that  
13 really brings together CPUC staff, CEC staff and CARB staff  
14 on a regular cadence along with CAISO to really think  
15 through the modeling improvements and the assumptions that  
16 we put in and such. So just want to give a big shout out to  
17 the interagency team that supports this work at CEC. And  
18 specifically at CEC, I would just like to recognize the  
19 distributor generation team, the self-gen team that does  
20 the forecasting on the self-gen side. Just a couple of  
21 people there, Alex, Mark Palmere, Bobby Wilson and Sudhakar  
22 Konala who really work on those areas. And the fantastic  
23 job that Alex is doing in taking leadership and  
24 implementing this huge number of changes. On the  
25 transportation team, most of you who are regular to that,

1 to our work now. Our core team, Aniss Bahreinian, Maggie  
2 Deng, Jesse Gag, Liz Pham, Namita Saxena, Elena Giyenko and  
3 Farzana Kabir, just want to recognize their work on the  
4 transportation side that we'll also hear.

5 MS. RAITT: One of the critical changes this year  
6 is around the additional achievable energy efficiency and  
7 the additional achievable fuel substitution. We have been  
8 making incremental progress on really understanding the  
9 demand modifiers as it pertains to building electrification  
10 and efficiency and really synchronizing with CARB's scoping  
11 plan, the state implementation plan and other initiatives  
12 and policies that the state has. So I really want to  
13 highlight the leadership that we have there in Ingrid  
14 Neumann, Nick Janusch, Ethan Cooper, Usman Muhammad,  
15 Cynthia Rogers, and Brian Samuelson along with Mike Jaske.

16 So just a big thank you there to all the people.  
17 So this year some of the core elements that we're  
18 continuing to navigate is how do we protect the system  
19 planning in terms of really understanding the variability  
20 around not just the weather, but the demand modifiers and  
21 the load modifiers that we're going to discuss today.

22 I made some huge changes in terms of implementing  
23 new modeling in terms of the self-gen forecast, but also  
24 continuing to pay attention to the liability and  
25 affordability. So I think it's kind of a balance that we

1 need to do as a state to plan for high electrification  
2 future with ensuring that we're building the right levels  
3 for reliability and affordability. So really looking  
4 forward to the conversation today. Again, a big thanks to  
5 the IEPR team for their work. Big thanks to all the  
6 interagency team and participants, the stakeholders who  
7 regularly work with the team, with the CEC team on  
8 developing the assumptions and modeling. So big thanks all  
9 around and also to Commissioner Monahan for the CS  
10 leadership. With that I'll pass it on to Commissioner  
11 Monahan.

12           COMMISSIONER MONAHAN: Well thanks, Vice Chair  
13 Gunda. And I just want to say the one person who didn't get  
14 acknowledge in that long list was you for your leadership  
15 in terms of really helping the Energy Commission improve  
16 our forecast and be proactive in evaluating the impact of  
17 regulations that have not yet been passed but are still  
18 under development. And I would say in some way  
19 transportation was the camel's nose under the 10th in the  
20 electrification world, and now we're seeing sort of the  
21 same phenomenon play out when it comes to buildings and  
22 potentially, eventually industrial applications as well for  
23 electrification. So I think it has been - I was appointed,  
24 I was thinking about this in terms of my trajectory here at  
25 the Energy Commission. So I was appointed by the Governor



1 in 2019. That was the first year I would say that the  
2 forecast started to show a future of increasing  
3 electrification.

4 COMMISSIONER MONAHAN: And then every year since  
5 then, of course, the demand forecast has projected more and  
6 more electrification going forward as a key climate  
7 strategy. And it's just been really amazing actually to see  
8 in my short time here at the Energy Commission, how the  
9 work of our forecast has deepened and strengthened.

10 Transportation is the area that I'm tracking most  
11 closely, and it has been just really amazing to see how the  
12 team has deepened our understanding of what transportation  
13 electrification is going to need for grid planning. So just  
14 looking forward to this workshop. Thanks to Heather for her  
15 leadership on all things IEPR and really looking forward to  
16 the conversation. Thanks also for switching the agenda. I  
17 have to say that I have to leave in the afternoon, so the  
18 morning is going to be transportation, which I really  
19 appreciate the flexibility on the agenda. And I'll pass it  
20 right back to Heather.

21 MS. RAITT: Thank you, Commissioners.

22 So our first presenter is Quentin Gee. He's the  
23 Manager of the Advanced Electrification Analysis Branch.  
24 And so he'll be kicking us off. Thank you, Quentin.

25 MR. GEE: Great. Thanks, Heather. Hi, everybody.

1 My name's Quentin Gee. I'm the Manager for the Advanced  
2 Electrification Analysis Branch and also acting supervisor  
3 for the Transportation Energy Forecasting Unit. And maybe  
4 before we get started with this, maybe we could go back one  
5 slide and we'll stay on this slide for a little bit and  
6 I'll provide a little bit of context for the overall load  
7 modifier discussion that we're about to have today. And  
8 then I'll jump into transportation in a bit.

9           But to start off today, today's the 15th where  
10 we're doing the load modifier results workshop today. We  
11 will discuss transportation electrification, building  
12 electrification and distributed energy resources. And then  
13 we will also, in December, that's when we'll discuss the  
14 final workshop forecast. That's where we'll go more  
15 thoroughly through the hourly results and then also the  
16 statewide or CAISO wide, statewide type results and dive  
17 deeper into that.

18           But for now, we're going to focus on some of the  
19 parts of the forecast that really add a lot of new and  
20 interesting effects, have a lot of new and interesting  
21 effects on the forecast overall. In January 2024 is when we  
22 target the forecast adoption. And so we'll be, as Heather  
23 mentioned, we'll be accepting comments now and then also  
24 accepting comments at that December 6th workshop on the  
25 final forecast for integration into the final forecast for

1 adoption.

2           For those of you who aren't aware and you you're  
3 also interested in some of the forecasting work, we do have  
4 what's called a Demand Analysis Working Group or what we  
5 call DAWG. That is a working group where we go into more  
6 technical detail on some of the work and have more nuanced  
7 discussions on some of these issues, diving into the  
8 details. So if anyone is interested in that, feel free to  
9 reach out to me or contact the IEPR team who can put you in  
10 touch with us about getting on that Demand Analysis Working  
11 Group list.

12           But overall, the forecast, and we'll discuss this  
13 more also in December, but just sort of as a high level on  
14 the forecast, this is a foundational document for a  
15 foundational set of data that's foundational for procuring  
16 and system planning in the State. This is used by the  
17 California Public Utilities Commission for Integrated  
18 Resource Planning. It's used by the California Independent  
19 System Operator for transmission system planning. It's also  
20 used by utilities and the CPUC for resource adequacy  
21 requirements and utilities use them also for planning and  
22 so on and so forth. We do this at a 15 plus year system  
23 level forecast for electricity and gas demand. It used to  
24 be a 10 year forecast, but now we have extended it out to  
25 15 and we're going an additional year out this time. And we

1 report the annual electricity and gas consumption for a  
2 sense of the overall resource needs.

3           We do what are called 8760 hourly electricity  
4 loads where we are assessing the load on the system overall  
5 for each hour of each year, primarily focused on that peak  
6 hour. We do scenarios for energy efficiency, building  
7 electrification, transportation electrification. And we  
8 also have what we call 1-in-2, 1-in-5, 1-in-10, and 1-in-20  
9 year net peak electricity and net peak electricity demands.  
10 Sort of evaluating primarily what happens on say a hot  
11 summer day, like what's the probability, a 1-in-10 year  
12 that we are going to peak out a little bit higher than we  
13 might expect.

14           Every two years during odd number years, we do a  
15 full refresh of the forecast, which is what we're doing for  
16 this year, and then in even number of years we do updates.  
17 We don't update all components of the forecast, which gives  
18 us opportunities for the team to make some model  
19 improvements. So that's the overall kind of take on the  
20 forecast for the IEPR.

21           Next slide. With that, we can jump into the  
22 transportation results. I'll present the top line results  
23 and also a little bit of information on the light-duty  
24 transportation side, and then I'll hand over to the medium-  
25 and heavy-duty lead. So next slide.

1           This is sort of our best practice. We're going to  
2 use a lot of acronyms, initialisms, et cetera throughout  
3 this. I think that there has been, yeah, these slides are  
4 posted online already, so you can go and download them and  
5 if you're worried about an acronym or initialism that you  
6 see in these next slides, you can go ahead and just jump to  
7 that slide or keep that open if you're not familiar with  
8 some of this. But it saves us some language or some  
9 character space on the rest of the slides where we'll try  
10 to focus more on the data. Next slide.

11           So I'm going to present, yeah, statewide  
12 electricity for transportation and also some of the light  
13 duty results and a little bit on Off-Road as well, which is  
14 a new and emerging sector that we're really going to want  
15 to pay more attention to in future years now that we've  
16 covered a lot in developing light-duty and medium- and  
17 heavy-duty forecast scenarios. Next slide.

18           So basically transportation is kind of simple.  
19 This diagram makes it look simple, that is. It actually is  
20 a very complicated set of models that we have a  
21 sophisticated set of economic models and other models that  
22 really help us understand the transportation energy demand.  
23 But sort of roughly speaking, we can say that basically  
24 you've got a certain number of vehicles in the population.  
25 Those vehicles travel, they drive around the state and

1 those vehicles to do that travel, they need a certain  
2 amount of fuel to do it, and their fuel economy tells you  
3 how much energy you'll need overall. So vehicles, times the  
4 amount of travel, times the fuel economy basically gives  
5 you the transportation energy consumption. We tend to break  
6 it down into light-duty, medium- and heavy-duty, and we are  
7 also thinking more about off-road vehicles as well. But  
8 yeah, that's the gist of how it works overall and more  
9 detail is available in this year's and previous IEPR's and  
10 always open for questions as well during this and our  
11 Demand Analysis Working Group meetings. Next slide.

12           Just to give you a little bit of updates to the  
13 light-duty models that we had this year. We do have  
14 personal vehicles, which are the dominant form of light-  
15 duty vehicle ownership out there, people that just own a  
16 vehicle and drive it around for their own personal needs.

17           MR. GEE: You have commercial vehicles. The  
18 personal vehicles and the commercial vehicles. Those are  
19 choice models where we have probabilities of new vehicles  
20 or used vehicles being purchased by different entities,  
21 either people or households or fleet operators, and they  
22 choose based off of desired characteristics that are  
23 informed by our California Vehicle Survey, which we're  
24 actually doing an update to in the next couple of years.

25           We also have government, rental cars. They're a

1 little bit different than commercial vehicles, which are  
2 more like fleet oriented versus rentals where people just  
3 do rental stuff with those. So we have government, rental  
4 models.

5 We also have a neighborhood electric vehicles.  
6 You can sort of think of golf carts or other small, small  
7 vehicles that really don't go on highways or anything like  
8 that.

9 So those are the general models that we have for  
10 the light-duty forecast. We have the baseline forecast,  
11 which is updated with the latest economic forecast from  
12 Moody's. We have Department of Finance household forecast.  
13 We revise our fuel price forecast. Vehicle ranges, we  
14 update those, update the vehicle prices. We have a new  
15 approach to updating the incentives. As one might imagine  
16 with the recent Inflation Reduction Act that was passed  
17 last year, there have been some changes overall to the  
18 incentive structure. We integrated that in last year, but  
19 did make some additional updates based on new announcements  
20 that were made earlier this year.

21 We also have the AATE Scenario 3 that's  
22 Additional Achievable Transportation Electrification  
23 Scenario Three. We didn't do a Scenario 1 and 2 this year,  
24 which are defined in different ways. But Scenario 3 really  
25 captures the latest and greatest of the light-duty vehicle

1 regulations. That includes Advanced Clean Cars 2 or ACC 2,  
2 and also the Clean Miles Standard.

3           The Clean Miles Standard is a regulation on  
4 transportation network companies, such as Uber and Lyft.  
5 And requires them to, for the vehicles, the vehicle miles  
6 traveled of the vehicles for their services have to be  
7 increasingly electric at an accelerated rate compared to  
8 simply what we would expect under the Advanced Clean Cars 2  
9 regulation. One little caveat here, I know this is  
10 something that can come up and it's a little confusing, but  
11 the Class Two B vehicles, this is kind of an interesting  
12 little category here that is a little bit strange for  
13 analysis, but roughly stated, we count Class Two B - so  
14 Class Two B vehicles, these are gross vehicle weight rating  
15 of 8,500 to 10,000 pounds. That is the car loaded to its  
16 typical recommended maximum capacity. The gross weight of  
17 that whole thing is about 8,500 to 10,000 pounds. You can  
18 imagine here we've got the little cutouts of what is a Ford  
19 E-Transit that has a gross vehicle rate rating of 9,500 and  
20 then we have, I think that's a silhouette of a Ford F-250  
21 or something like that.

22           So not quite the standard pickup, but a little  
23 bit of more the heavy-duty ones. Those count in our models,  
24 those count as light-duty if their gross vehicle weight  
25 rating is less than 10,000 pounds, but greater than 8,500



1 pounds, that is treated by the California Air Resources  
2 Board differently, that is treated as a medium-duty  
3 vehicle. So it could be counted under the California Air  
4 Resources Board Advanced Clean Fleets rule, but it could  
5 also count under the Advanced Clean Cars 2 rule.

6           It's a little bit tricky. For our modeling  
7 purposes, we found it most efficient to just treat them as  
8 light-duty and have them superseded by Advanced Clean Cars  
9 2, which is in many ways a stronger regulation in terms of  
10 getting more zero emission vehicles on the road. Next  
11 slide.

12           So here are the results overall. In the dashed,  
13 you can see the last year's ATE 3 Scenario and in the  
14 orange you can see this year's scenario. It's a little bit  
15 lower.

16           Then in the blue you can see the baseline  
17 forecast. The baseline forecast does not, as we saw in the  
18 previous slide, it does not capture Advanced Clean Cars 2.  
19 It's kind of like how we might envision zero emission  
20 vehicle adoption to occur without that requirement being  
21 operative. So pretty similar, although it does look like  
22 there's fewer ZEVs overall.

23           I should note here, I think I mentioned Advanced  
24 Clean Cars - excuse me, AATE 2 and 1. You'll notice that  
25 the distance or the gap between the baseline and AATE 3 is

1 pretty small, and if you've seen previous year's forecasts  
2 that that gap is a little bit bigger. Because these two  
3 were so close, it didn't seem like AATE Scenario 1 or AATE  
4 Scenario 2 would've been particularly informative because  
5 there's just such a close band in between those two. So  
6 looking at AATE 3 in the comparison, as I mentioned before,  
7 we do have the difference quite a bit of or reasonable  
8 difference between AATE 3 for this year and also AATE 3  
9 from last year, particularly 2035. It looks like there's  
10 about a million, a million and a half fewer Zero Emission  
11 Vehicles on the road.

12           Each forecast year has different inputs. Things  
13 change in the models, but one thing I should point to is on  
14 the next slide, we think is probably one of the leading  
15 drivers, not just for our results but also for the forecast  
16 as a whole. But on the next slide we can see sort of a  
17 leading driver in the ZEV difference. The big issue here is  
18 that there's just fewer households. Basically, you can see  
19 that dash line showing the household forecast going out  
20 through 2035, and then you can see this year's it's  
21 actually gone down by quite a bit, 800,000 households. So  
22 that's one of the leading drivers of the reduction in  
23 vehicles. There's just fewer households out there that  
24 demand vehicles and that builds up over time. Next slide.

25           Sort of zooming out, looking at transportation

1 overall. Here are the electricity demand results for all of  
2 transportation. I should clarify here that this is not  
3 exactly what goes into the hourly load models. There's a  
4 little bit taken out here, but I'll describe that in a  
5 second when we break it down. But this is just generally  
6 sort of to give the folks here just a broad sense of how  
7 much electricity we anticipate to be used for  
8 transportation purposes. Pretty close to what we had in the  
9 previous year. The leading driver here is that we do have  
10 the Clean Miles Standard that has more electric or Zero  
11 Emission Vehicle miles traveled. And we also had some  
12 additional updates. Maggie will be able to talk about those  
13 with the freight forecast, et cetera. But overall pretty  
14 close to what we had in the previous year and growing  
15 electricity demand quite a bit that we'll need to be  
16 planning for, but not a huge change from last year. Next  
17 slide.

18           So here's another way of looking at more or less  
19 the same thing that we had before. And here of broken it  
20 down a little bit in terms of the different components that  
21 make it up. So basically broke down the commercial,  
22 government, rental light-duty, put those in the blue and  
23 then in the orange you can see the medium- and heavy-duty  
24 freight. In the green we have personal light-duty. You can  
25 see that that's the major source of demand for electricity.

1 We also have trail transit, rail and other buses making up  
2 a small but noticeable portion. And then, finally, I could  
3 draw your attention to this, what we call off road  
4 electrification. This is something that's been a part of  
5 the forecast, but I will, that is not a part of the load  
6 modifiers. So the off-road electrification currently is  
7 treated as just sort of a component of the baseline demand  
8 that goes into the baseline forecast and is not treated  
9 differently compared to say the personal - excuse me, the  
10 light-duty vehicles or the medium- and heavy-duty vehicles.

11           And I think it might be worth us taking a closer  
12 look at that. So on the next slide we can take a look at  
13 the breakdown of the off-road electrification. This is an  
14 area where we're going to need a lot of development in the  
15 future on this. We do have an off-road model and have been  
16 using it for several years now. We're pretty happy with it,  
17 but overall we do need to really expand some of the areas  
18 that we're looking at, update some of the work here, and  
19 also integrate some new regulations on this front. But we  
20 think we've got a pretty good sense of it right now, but  
21 just looking to improve this in the long run.

22           But we have construction, other off-road  
23 equipment, agricultural equipment, shore power. That's  
24 basically when a ship docks in harbor that they rather than  
25 continuing to use their engines to generate electricity for

1 their needs that they plug in at the port and we'll use  
2 electricity there rather than running engines and creating  
3 pollution from that.

4           There's also port cargo handling equipment,  
5 things like forklifts and sort of pallet lifters or trailer  
6 lifters or I can't remember what those things are called at  
7 the ports. The container ship, the container lifters, those  
8 sorts of equipment. And then also forklifts overall.

9 Electric forklifts are expected to increase as well.

10 There's a lot in use already, but we anticipate even more  
11 in the future. We want to get a closer read on these and  
12 longer term we are thinking about ways in which we can  
13 integrate the forecast results here into other looks or  
14 other assessments of different segments of the economy. In  
15 particular agriculture and the ports are things that we  
16 want to take a closer look at in the future to help inform  
17 some of the grid work that's necessary in those areas.

18           With that, I think we can hand over to the next  
19 person. That is Maggie Deng. She is the MDHD forecasting  
20 lead. Maggie.

21           MS. DENG: Hi. Good morning, everyone. So as  
22 Quentin mentioned, I'll be presenting on the updates and  
23 results for the medium- and heavy-duty component of the  
24 IEPR Demand Forecast. Next slide.

25           So just to set the stage with some definitions,

1 here's an overview of all of the different weight classes  
2 and general vehicle categories that we define as MDHD for  
3 the forecast. Simply put, MDHD for our forecasting purposes  
4 is anything from gross vehicle weight rating three up to  
5 eight. As Quentin mentioned in his presentation, many of  
6 CARB's policies such as Advanced Clean Trucks and Advanced  
7 Clean Fleets include Class 2 B, but for our models, Class 2  
8 B is considered light-duty and therefore handled by our  
9 light-duty models. All of the boxes here in light blue are  
10 included in our Freight and Truck Choice Model, which I  
11 primarily work on and all of the boxes in white are  
12 included in our travel choice models, which is led by my  
13 colleague Elena Giyenko. For the HD trucks, I wanted to  
14 note here we have some classes broken out by application  
15 such as delivery trucks and vocational trucks. This is a  
16 crucial distinction since the Vehicle Miles Traveled, or  
17 VMT, and travel patterns of these MDHD trucks will vary  
18 greatly depending on their application. Just as an example,  
19 a class eight tractor trailer combination truck that  
20 operates only within California will typically have a lower  
21 annual VMT than a tractor trailer truck that's registered  
22 to travel for interstate.

23 MS. DENG: Finally, on the rightmost column we  
24 also have different types of buses broken out with some  
25 falling under what's called the urban under city model and

1 the rest being included in the other bus.

2 Can you all still hear me clearly? Not sure if  
3 there is an audio issue.

4 MS. RAITT: Yeah, Maggie. This is Heather. We can  
5 still hear you but you did get quieter, so I'm not sure if  
6 you can just maybe speak up a little bit. That'd be great.

7 MS. DENG: Sorry, is this better?

8 MS. RAITT: That's better. Yep. There we go.

9 MS. DENG: That's better. Okay, great. Thank you  
10 so much for pointing that out. Okay, next slide.

11 Alright, so here's a quick summary of major  
12 updates to our MDHD models starting with the baseline  
13 forecast in the middle column. I won't read off every  
14 bullet point here, but generally speaking for all of our  
15 MDHD models, we incorporated the latest economic forecast  
16 from Moody's Analytics, updated key inputs such as fuel  
17 prices and truck prices and calibrated to historical fuel  
18 consumption. For AATE Scenario 3 on the right hand side  
19 here, no changes to baseline forecast were made for buses,  
20 which again are modeled under our other bus in urban inter  
21 city models. However, for the freight and truck choice  
22 model shown here in the top right. This year's AATE 3  
23 includes the recently formally adopted CARB ACF ZEV  
24 requirements and, most importantly, for the first time this  
25 year, we've incorporated a cutoff of internal combustion

1 engine vehicles beginning in 2036 in order to reflect the  
2 manufacturer ZEV sales mandate under ACF. I'll talk a  
3 little bit more about that later. Next slide, please.

4           Here we provided more so as a reference for you  
5 all, a summary of policies, programs, incentives, and  
6 regulations for MDHD vehicles that we include in our  
7 models. For our baseline forecast, I wanted to note that we  
8 do model Advanced Clean Trucks as part of our baseline. We  
9 include the Inflation Reduction Act, Commercial Clean  
10 Vehicle Tax Credit, as well as the HVIP incentives. And on  
11 buses, we have Innovative Clean Transit California electric  
12 school bus program as well as we are modeling some recent  
13 regulations for commercial harbor craft and California's  
14 in-use locomotives. Again for AATE 3 we're adding on in  
15 addition to what's already included in baseline forecast.  
16 The key addition here is Advanced Clean Fleets with the  
17 fleet ZEV requirements and then again that a hundred  
18 percent ZEV sales requirement beginning in 2036. Next  
19 slide.

20           So now here's our first look at results for this  
21 year's IEPR. This line graph is showing total MDHD ZEV  
22 stock, so this is a sum of both MDHD trucks and buses for  
23 both battery electric and hydrogen fuel types. The baseline  
24 forecast is represented here in blue as the lowest line on  
25 the graph. This year's AATE 3 in orange at the top and last



1 year's AATE 3 in the green dash line. As you can see this  
2 year's AATE 3 ZEV stock generally follows the same growth  
3 trend as last year with minor differences here I would  
4 attribute to the updated economic forecast being used. In  
5 2040, there are a little over 735,000 MDHD ZEVs for AATE 3  
6 and for baseline there are about 455,000 ZEVs in 2040. Next  
7 slide.

8           Now let's take a closer look at just Zero  
9 Emission MDHD trucks for our AATE Scenario 3. On this bar  
10 graph, I've broken out the zero-emission freight truck  
11 stock. Again, for AATE 3 into the fuel types with electric  
12 stock in blue and the orange being hydrogen stock. So  
13 starting in 2036 ACF ZEV sales mandate for manufacturers  
14 kicks in, meaning that new ICE trucks are no longer  
15 available in our truck choice model. In other words,  
16 electric and hydrogen compete directly with each other for  
17 market shares beginning in 2036. This results in about  
18 10,000 hydrogen trucks in 2036, growing to about 65,000  
19 hydrogen trucks in 2040. That means in 2040 hydrogen is  
20 about 6 percent of all freight trucks and about 9 percent  
21 within ZEVs. Next slide.

22           So before I move on to further results, I wanted  
23 to highlight some key points regarding hydrogen trucks in  
24 this year's AATE 3. As I mentioned, the higher level of  
25 hydrogen truck proliferation for this year's AATE 3 is a

1 direct result of our implementation of ACF's a hundred  
2 percent MDHD ZEV sales requirement. When battery electric  
3 vehicles and fuel cell electric vehicles become the only  
4 options in the truck choice model from 2036 onwards, that  
5 allows FCEVs to enter the population, particularly for our  
6 heavy duty long haul truck classes. Additionally, this  
7 year's fuel price forecast was updated to reflect recent  
8 spikes in hydrogen price for the earlier years of the  
9 forecast.

10           It's also important to note that currently based  
11 on staff and previous consultant market research, our  
12 freight model has FCEVs as a fuel type for only class six  
13 and long haul class eight trucks. We're keeping an eye on  
14 FCEV market developments and welcome feedback for future  
15 modeling.

16           Lastly, the model currently assumes that hydrogen  
17 fuel infrastructure will be available, when FCEVs are  
18 commercially available, but, of course, this is something  
19 that we're going to keep our eye on for future modeling as  
20 well. Next slide.

21           So returning to our results here, I provided  
22 another bar graph looking at AATE trucks only, but this  
23 time with the breakdown of ICE trucks in blue versus the  
24 zero-emission trucks in orange. In 2030, there are about  
25 168,000 ZEVs and they grow pretty rapidly in the 2030s,

1 arriving to about 708,000 zero-emission trucks in 2040. Or,  
2 in other words, about a 70 percent zero-emission share of  
3 total truck stock in 2040. And, as was the case last year,  
4 our ZEV population here should be pretty close to CARB's  
5 projections of ZEVs under both ACT and ACF. Next slide.

6           Alright, one final bar graph here. We're taking a  
7 look at AATE 3 stock again, but this time it's total MDHD,  
8 meaning it's trucks and buses together here. As you can see  
9 with MDHD trucks in blue and buses in orange, the majority  
10 of our forecast of the state's MDHD stock are trucks, with  
11 about 643,000 electric MDHD trucks and about 23,000  
12 electric buses in 2040. Next, we'll take a look at the fuel  
13 consumption resulting from these MDHD electric vehicles.  
14 Next slide.

15           So I'll conclude here with a line graph showing  
16 the electricity demand or fuel consumption resulting from  
17 the electric MDHD stock that we just saw. The trends here  
18 look very similar to the line graph that I had at the start  
19 of my presentation of total MDHD ZEVs shown in blue. The  
20 lower line here are the gigawatt hours resulting from the  
21 baseline forecast with the little over 10,000 gigawatt  
22 hours in 2040. Shown here in orange again, AATE 3  
23 electricity demand follows closely with last year's AATE 3  
24 results. The growth of electricity demand in AATE 3 results  
25 accelerates in the later years of the forecast, arriving at

1 about 19,000 gigawatt hours in 2040 for all MDHD and AATE  
2 3. That concludes my overview of updates and results for  
3 MDHD in this year's IEPR. I look forward to any questions  
4 and comments, but I'll pass it off to my colleagues Liz  
5 Pham for load shapes and regional energy allocation.

6 MS. PHAM: Hello, everyone. My name's Liz Pham.  
7 I'll be going over the regional energy allocation and load  
8 share. Next slide, please.

9 MS. PHAM: So what Quentin and Maggie just  
10 presented are the statewide energy consumption. What I do  
11 for the regional energy allocation is I further break down  
12 the statewide to forecast zones. We have 20 forecast zones,  
13 but we only focus on 15, which we then aggregate up to the  
14 five planning area.

15 MS. PHAM: as or what I like to call utilities.  
16 So PG&E is forecast zone one through six, SCE is seven  
17 through 11, SDG&E is 12, SMUD is 13, and LADWP is 16 and  
18 17. And then the other forecast zones that are shaded in  
19 black, those are the other utilities. I also linked an  
20 arcGIS map of the forecast zone if people want to explore.

21 MS. PHAM: So essentially for the regional energy  
22 allocation, I'm answering the question where are people  
23 consuming energy at the forecast zone level and how much?  
24 Next slide, please.

25 MS. PHAM: In terms of energy allocation, Maggie

1 does the medium- and heavy-duty and I do the light-duty  
2 vehicles. So for this I'll just be going over the light  
3 duty vehicle. I actually wanted to go over the inputs first  
4 before the methodology. Here, I wanted to just point out  
5 the differences in the inputs compared to last year. Our  
6 model uses vehicle miles traveled from EMFAC 2021 and this  
7 was updated to the newest version. For DMV registration,  
8 last year we used 2021 vehicle population. This year we're  
9 using 2022 vehicle population. And, in terms of economic  
10 demographics, we used the updated household and income  
11 forecast that was produced by the CEC. For the methodology,  
12 I quickly want to go over how the regional model works. The  
13 gist of it is that it uses DMV registration data to  
14 determine where energy is consumed at the forecast zone  
15 level. So we do assume that where someone registered their  
16 vehicle is also where the vehicle was charged.

17 MS. PHAM: So this would be mostly home and in-  
18 city charging and this is something important to note  
19 because - next slide, please - for improvements because we  
20 use DMV registration data to determine where energy is  
21 consumed, this caused the allocation to be heavily focused  
22 on city. So last year when we presented the regional  
23 allocation, stakeholders commented that CEC should consider  
24 charging along highways or enroute charging. So that's  
25 exactly what we did this year. We considered allocating

1 based enroute charging. According to the National Renewable  
2 Energy Laboratory EV modeling work known, as EV road trips,  
3 about 10 to 12 percent of the VMT constitutes what they  
4 define as a road trip likely to need DCFC charging.

5 Therefore, we took 12.5 percent of the statewide energy  
6 consumption and allocated using highway traffic data and  
7 population density. We will continue to monitor road trip  
8 modeling efforts to improve this allocation process, but  
9 essentially how this works is we look at major highways in  
10 California and where there are more highway traffic but  
11 less population density, those areas get more of the 12.5  
12 percent.

13 MS. PHAM: Whereas for high traffic areas, with  
14 high population density, so highways going through cities,  
15 those areas get less up to 12.5 percent. Again, our  
16 regional allocation was heavily skewed towards cities and  
17 city charging. So now by doing this, it allowed us to shift  
18 load from cities to highways in more rural areas that would  
19 be used for enroute charging. For assumptions, we are  
20 assuming that 12.5 percent of the statewide will be due to  
21 enroute charging and this percentage will stay the same  
22 throughout the forecast year. It's possible that this  
23 percentage could increase in the future due to various  
24 reasons like autonomous vehicles, but for now we don't have  
25 much data so we just kept it simple and kept it constant.

1 MS. PHAM: Another assumption is for DMV, we do  
2 assume that people are charging or using their vehicles  
3 where they're are registered. So there could be instances  
4 where people are registered in one city but they're using  
5 their vehicles in a different city. Next slide, please.

6 MS. PHAM: Okay, so for results. Here we are  
7 looking at energy consumption for light-duty plugin  
8 electric vehicles for each of the utilities. This slide, I  
9 wanted to compare what it would look like with and without  
10 enroute charging. In the orange column to the right, this  
11 is where the energy consumption would have been in 2040  
12 without enroute charging. So this is mainly city charging  
13 in the blue to the left of that is the result with enroute  
14 recharging. So this essentially decreased the energy  
15 consumption for LADWP, SCE and SDG&E and reallocated to  
16 more rural forecast zones which affected PG&E, SMUD and the  
17 other smaller utilities. So with this improvement for  
18 LADWP, energy consumption decreased about 300 gigawatt  
19 hours. PG&E increased about 800 gigawatt hours. SCE  
20 decreased about 900. SDG&E decreased about 300. SMUD  
21 increased about eight and the other utilities increased  
22 about 700 gigawatt hours. Next slide, please.

23 MS. PHAM: Now we are moving on to the EV load  
24 model, which produces our load profiles. So for the  
25 regional allocation we wanted to know where people are

1 consuming energy. Now for the load profiles, we want to  
2 know when people are consuming energy and how much. For  
3 anyone who's not familiar with 8760, this is essentially  
4 how many hours there are in a year. So 24 hours in a day,  
5 times 365 days equals 8760 hours in a year. Next slide.

6 MS. PHAM: For the EV load model, just a reminder  
7 of how it works. It essentially takes our base load shapes  
8 that we got from ChargePoint and Lawrence Berkeley National  
9 Lab and this shifts the load according to TOU rates,  
10 elasticity factor, so this is how responsive customers are  
11 to TOU rates and TOU participation, so this is the  
12 percentage of customers that are on TOU rates.

13 MS. PHAM: For the inputs, again, I just want to  
14 go over what is different compared to last year.

15 MS. PHAM: For TOU rates, every year I update the  
16 TOU rates for each of the utilities. I generally use EV  
17 specific TOU rates, but if utilities does not have EV  
18 specific TOU rates, then I would use the regular TOU rates.  
19 And then usually there's an EV credit or EV discount that  
20 can be applied to certain hours. So that's generally true  
21 for SMUD and LADWP and those are updated as of September  
22 2023.

23 MS. PHAM: For load shape, the LDV, the light-  
24 duty vehicle uses 2017 ChargePoint data and the medium- and  
25 heavy-duty uses load shape that we got from Lawrence



1 Berkeley National Lab and those stayed the same as last  
2 year. Elasticity factor and TOU participation that these  
3 both stayed the same as last year as well. Next slide,  
4 please.

5 MS. PHAM: In terms of improvements this year we  
6 added seasonality. To do that, we used quarterly averages  
7 of monthly gasoline and diesel sales tax from the  
8 California Department of Tax and Fees Administration.

9 MS. PHAM: Here we have index charts of the  
10 gasoline and diesel sales that we are assuming is  
11 indicative of energy consumption. On the left side is an  
12 index chart for gasoline sales tax that we're assuming will  
13 inform light-duty energy consumption and on the right is a  
14 index chart of the diesel sales tax that we're assuming  
15 will inform medium- and heavy-duty energy consumption. So  
16 both have similar distributions. You'll see lower energy  
17 consumption in the winter month. So month one, two and  
18 three, which is January, February, March. And then more  
19 energy consumption in the summer months, so months seven,  
20 eight, and nine, which is July, August and September. So  
21 essentially adding seasonality will shift more load to the  
22 summer months from the winter months. Next slide, please.

23 MS. PHAM: Assumptions again, we are assuming  
24 gasoline sales tax informs light-duty seasonal electricity  
25 demand and diesel sales informed medium- and heavy-duty.

1 Other assumptions to be aware of our load shapes,  
2 elasticity factor, TOU participation. They're all the same  
3 in all forecast zones. So we recognize that there could be  
4 regional differences for these inputs. We just don't have  
5 enough data to better inform them.

6 MS. PHAM: We are hoping to improve these inputs  
7 using AMI data or Advanced Metering Infrastructure data,  
8 but that is still to be determined if it's actually  
9 possible.

10 MS. PHAM: Another assumption is that TOU rates  
11 are assumed to stay the same throughout the forecast. So we  
12 don't actually know what the TOU rates will be in 2030.  
13 Next slide, please.

14 MS. PHAM: Okay, so for results I wanted to  
15 compare what it would look like with seasonality and  
16 without seasonality. Here we're looking at a load profile  
17 from 2035, a weekday in September for the CAISO system for  
18 the light-duty vehicles. So the CAISO system is essentially  
19 PG&E, SCE and SDG&E added together. In the blue is what the  
20 profile would look like without seasonality, and the orange  
21 line is with seasonality. Adding seasonality resulted in  
22 about a 7 percent overall increase for September in 2035.  
23 Next slide, please.

24 MS. PHAM: And for this slide we are comparing  
25 the load profile for medium-heavy duty. Again, we're

1 looking at 2035 a weekday in September for the CAISO  
2 system. Blue line is without seasonality, orange line is  
3 with seasonality. For medium and heavy-duty vehicles,  
4 adding seasonality resulted in about a 9 percent increase  
5 in the overall load in September. Next slide, please.

6 MS. PHAM: Here is the overall load profile for  
7 both light-duty and medium and heavy duty for the CAISO  
8 system. Again, we're looking at results for 2035 a weekday  
9 in September. As you can see, there's a lot of nighttime  
10 charging peaking around midnight through 1:00 a.m. and the  
11 load dipped around early morning around 5:00 to 6:00 a.m.  
12 and then peaks again around 7:00 to 11:00 a.m. and then  
13 load decreases during peak hours from 4:00 to 9:00 p.m.  
14 when TOU rates are more expensive.

15 MS. PHAM: In general, the overall shape of the  
16 load did not change much from last year. Adding seasonality  
17 enroute charging mainly affected the magnitude of the  
18 profile. Next slide, please.

19 MS. PHAM: So this concludes our presentation.  
20 Thank you very much. Heather, I'll hand it back to you.

21 MS. RAITT: Thank you, Liz, and Quentin and  
22 Maggie.

23 So now is an opportunity if Commissioner Gunda or  
24 Commissioner Patty Monahan would like to have any questions  
25 of our presenters.

1           COMMISSIONER MONAHAN: Well first of all, thanks  
2 Maggie, Liz, Quentin, that was really great. And, like I  
3 said, it's just been very - to be part of this or at least  
4 to see it happening in front of me, it's just really  
5 amazing to see how much deeper, more sophisticated the  
6 analysis has become with time.

7           COMMISSIONER MONAHAN: And I'm wondering,  
8 Quentin, I'm going to put you on the spot just to talk  
9 about this intersection with our AB 2127 report, which  
10 highlights the charger needs in 2030 and 2035, and has an  
11 intersection - growing intersection with the IEPR. I wonder  
12 if you could just talk about it so that others can  
13 understand how these analytical products dovetail and  
14 don't.

15           MR. GEE: Yeah, great. Thanks, Patty. Really  
16 happy to talk about that.

17           For folks that aren't familiar with the way that  
18 CEC is - sort of broken down with the different work  
19 products, the IEPR forecast is done by the Energy  
20 Assessments Division that is a different division than the  
21 Fuels and Transportation Division, which is tasked with the  
22 Assembly Bill 2127 EV Charging Report. And, as two  
23 different divisions, two different approaches. We have done  
24 a pretty good job, I think, over the years of being in  
25 alignment in discussion with each other in consultation

1 with each other. I think that for our work on system  
2 planning or that informs system planning, we've been really  
3 sensitive to things like TOU rates and behavior around  
4 that. I think Fuels and Transportation Division has been,  
5 and the 2127 report has been really interested in learning  
6 more about how to assess funding for priorities, charging  
7 priorities, those sorts of things.

8 MR. GEE: I think - so one thing I should say,  
9 where we do align, I think generally speaking we align, if  
10 you look at our load shapes, they're pretty consistent but  
11 they're not perfectly aligned and we're not using them  
12 directly. I should point out for the medium and heavy-duty  
13 loads - load shapes, what we do is we took an older version  
14 of the 2127 Reports, HEVI-Load model shapes, and we use  
15 those in the load model that we have that kind of pushes  
16 load down a little bit during the peak hours of say 5:00 to  
17 8:00 p.m. or so. That's when we expect peak hours to  
18 usually be when we're looking at system peak or peak within  
19 a given utility area. And so I wouldn't say that there's a  
20 huge, once we push down the rate, once we push down the  
21 demand a little bit, it's not like it's cut in half or  
22 something like that.

23 I don't even think it is reduced more than 30  
24 percent at that point in time for medium and heavy-duty  
25 loads. There was an update that I think the latest 2127

1 report did incorporate, which was new load shapes that were  
2 more county, geographically sensitive and load shapes that  
3 had a slightly different pattern than what we would've  
4 expected or than what we had previously.

5 We got those load shapes a little bit late in the  
6 cycle and we weren't able to integrate them and fully sort  
7 of vet how we were going to approach it. But we're looking  
8 forward to continually working together with the HEVI-Load  
9 team to really integrate those load shapes. I think long-  
10 term, our goal throughout this next year is really to what  
11 the HEVI-Load shapes are will be what our medium and heavy-  
12 duty load shapes are. Like the HEVI-Load model that FTD and  
13 AB 20, that will be our medium and heavy duty load model  
14 results as well.

15 We still need a lot of coordination there. We  
16 need to make sure that we're thinking through Time Of Use  
17 rates in the same way to where we're in good alignment  
18 there, but we're hopeful that we'll be able to make a lot  
19 of progress in aligning it and maybe making them identical.

20 On the light-duty side it's a little bit  
21 different. There are differences. I think the 2127 report I  
22 think does explore a lot in terms of potential differences  
23 based on maybe like scenario results. What do we expect if  
24 there's a lot of direct current fast charging going on? I  
25 think there's a gas station model type scenario that is

1 discussed and we're I think trying to be a little bit more  
2 conservative in our approach and not wanting to pull too  
3 much or to use a scenario that is using that much kind of  
4 daytime peaking. If you look at the load - I mean the load  
5 shapes that Liz just presented, there is a lot of load  
6 happening during the day for EV charging and it does dip a  
7 little bit, but we want to be careful not to make it dip  
8 too much or not to use assumptions that will say that it is  
9 going to dip too much.

10 I would say in the long term our hope is to use  
11 advanced metering infrastructure data to know well how are  
12 people charging today? What is their actual behavior? And  
13 that could be useful I think to inform the AB 2127 work and  
14 our own work because right now we are using sort of pre-  
15 time of use rate, sort of big picture charging data and  
16 sort of modifying that on the basis of Time Of Use rates  
17 based on economic studies that have been out there. But  
18 actual data of how people like every meter or lots of  
19 meters in the state would be much more helpful to see how  
20 are people actually behaving. Because there's a lot of  
21 dynamics that can occur around that. But I think maybe I'm  
22 saying it more than necessary at this point.

23 COMMISSIONER MONAHAN: That was great, Quentin. I  
24 do think the more we can get real data, real world data and  
25 the more we can integrate, as you know, what's happening in

1 the fuels and transportation division, what's - what's  
2 happening in EAD and have just build off each other because  
3 this is a period of learning. We don't have all the answers  
4 and we're just trying to do the best analysis possible with  
5 the information that we have. So it's always going to get  
6 better, it's always going to be more refined.

7 COMMISSIONER MONAHAN: And I would say just to  
8 comment and maybe I'm not sure Liz or Maggie actually maybe  
9 want to comment on this, but in terms of projecting fuel  
10 cells and hydrogen demand going forward. As we move to an  
11 all ZEV future for medium and heavy duty hydrogen prices  
12 really figure very prominently, right, in the choice of  
13 what vehicle is going to emerge from our vehicle choice  
14 modeling. I wonder if you can just talk a little bit about  
15 that aspect of our modeling.

16 MS. DENG: Sure, yeah, I'll chime in here. So for  
17 our freight and truck choice model, it is true that the  
18 final field types in our stock results is very sensitive to  
19 fuel price as an input. I think that on the light-duty side  
20 it's a little bit less sensitive to fuel price. They have  
21 other inputs informing the market shares there. But for  
22 freight and truck choice, definitely. I think that's why in  
23 previous IEPR results hydrogen trucks were quite low and  
24 that's due to high FSSAT truck prices and also higher fuel  
25 prices. And also that's why I was highlighting in my



1 presentation that hydrogen only really begins to  
2 proliferate once that ICE cutoff occurs. In this case in  
3 earlier forecast years prior to that 2036 ACSF mandate,  
4 when hydrogen is competing against all the other fuel  
5 types, the cost of ownership in terms of the truck price  
6 delivered truck price and the fuel price make it a little  
7 less competitive in our truck choice model.

8           And so I think that speaks to how hydrogen fuel  
9 price, especially, will I think be a key factor in whether  
10 FZEVs, how much FZEVs will be part of the ZEV transition.  
11 And I do also I guess want to highlight that I think our  
12 model supports what I think a lot of research is saying,  
13 which is that FZEV is more - or hydrogen as a fuel type is  
14 more suitable for long haul trucking where they might have  
15 constraints with charging time, fueling time, et cetera.  
16 And I think that our model supports that because even  
17 within the FZEVs that do proliferate, they're primarily in  
18 those class eight long haul applications

19           COMMISSIONER MONAHAN: And there is an  
20 intersection here with the hydrogen hub that California was  
21 just designated a hub federally. And the goal of that is to  
22 produce clean hydrogen at scale and to cut prices. So if  
23 actually we're successful, that will have an impact in  
24 terms of our modeling of hydrogen fuel prices and the  
25 uptake of fuel cell vehicles.

1 MS. DENG: Yes, absolutely.

2 MR. GEE: Thank you. Thanks Commissioner Monahan.  
3 Also, to add on to what Maggie said, yeah, I think the  
4 hydrogen hub is a critical component that we want to take a  
5 close look at and see how things evolve.

6 And I think what also is great about the hydrogen  
7 hub is it's not just in California, it's all over. I think  
8 as Maggie kind of alluded to that our fuel models at this  
9 point really just do kind of assume that the fuel is easy  
10 to access. You're 30 miles away at any time from a station  
11 on the highway, it's just a quick mile, a quick drive or in  
12 town it's just down the corner.

13 That assumption doesn't necessarily hold at this  
14 time for things like hydrogen. It also kind of doesn't hold  
15 for DCFC like for long haul trucking certainly doesn't. So  
16 we want to pay close attention to those factors as they  
17 evolve.

18 But I think the hydrogen hub, having different  
19 ones scattered throughout I think is going to be something  
20 really critical for us to think about and make sure that we  
21 have good data inputs going into there. And our hydrogen  
22 forecast, we do want to update the hydrogen forecast. We  
23 did a slight update this year compared to last year's  
24 results in light of some of the increases in price that  
25 we've seen. But longer term that the prices tend to come

1 down and stabilize in the forecast and we're hoping that  
2 they can come down further or they certainly will not stay  
3 as high as they are now because that's going to be critical  
4 to seeing the adoption that the choice models are currently  
5 saying.

6 On light-duty, the hydrogen, the vehicles don't  
7 seem to be really taking up a lot of the vehicle adoption  
8 there. They represent less than 1 percent of all zero-  
9 emission vehicle sales. So the continuing, they're not  
10 going down to half a percent or a third of a percent or  
11 something like that, but still not able to see any  
12 sustained growth in penetration at that point.

13 COMMISSIONER MONAHAN: Vice chair, I don't want  
14 to take up all the airspace. Did you have a question?

15 COMMISSIONER GUNDA: I do have a couple  
16 questions, if you're good with it. But I also want to make  
17 sure you have time to discuss all the questions you have.

18 COMMISSIONER MONAHAN: I have one more, but I  
19 want you to ask questions and then we'll see if there's  
20 time.

21 COMMISSIONER GUNDA: Okay, awesome. So I think I  
22 just want to begin by just extending my gratitude to you,  
23 Quentin, Maggie, and Liz. I really, as Commissioner Monahan  
24 said it, the evolution of the forecast and the more rigor  
25 and not just trigger the clarity and accessibility of the

1 forecast has improved so much over the last few years. I'm  
2 just really grateful for your continued work and all the  
3 staff on making it more and more accessible and rigorous  
4 and really bridging the gap between a pure planning work  
5 and policy work, right? And how are we trying to both  
6 incorporate policy uncertainty into the planning but also  
7 using the models to help shape the policy. And I think  
8 that's where EAD sits and the Energy Assessment Division  
9 sits and CEC sits. So I just am incredibly grateful for  
10 your continued work on this.

11 COMMISSIONER GUNDA: A couple of formatting  
12 comments, just wanted to say. I love what's happening again  
13 with accessibility and all. Quentin, it has been raised  
14 over the last several years of just having the historical  
15 data as a part of the charts along with the forecast.

16 COMMISSIONER GUNDA: So just as a way to show the  
17 shape because people don't really see it, especially new  
18 people. So if you could just make sure we kind of develop  
19 that as a standard process. And also where does it start  
20 becoming a forecast along the right? Because some of our  
21 assumptions are a couple years old or last summer, whatever  
22 right. So just want to make sure that you really put that  
23 so people understand how those things are changing. Really  
24 appreciative of the seasonality model. I think that's a  
25 really helpful thing.

1           COMMISSIONER GUNDA: So I want to first go to  
2 slide number - sorry, I'm almost there. Okay, slide number  
3 30, 31 and 32. Just kind of wanted to make sure that I  
4 uplift the importance of this work in terms of, I think the  
5 shapes are broadly the same. Liz, I think you mentioned,  
6 the shapes are the same, but the magnitude slightly  
7 shifted.

8           COMMISSIONER GUNDA: Putting on the reliability  
9 lens even a hundred megawatts during evening periods is  
10 scary to me. So just wanted to, especially in the summer,  
11 if we go back to 30, and just one more slide up to 30, we  
12 are beginning to see that, I think it's probably 3 - 400  
13 megawatts. And then the next one is 3 - 400 megawatts. Just  
14 want us to uplift those numbers in the planning, especially  
15 as it goes to the RA and IRP. Let's just make sure we  
16 really are paying attention to those because that really  
17 changes the resource mix.

18           COMMISSIONER GUNDA: So along those lines, I like  
19 the idea of us using the gasoline and diesel sales as a  
20 proxy. And when we look at the quarters, right. Our current  
21 struggle on the Elk city planning kind of matches along the  
22 7, 8, 9 months. Could you just explain to me how different  
23 the 6th month and the 10th month are, because those are  
24 uncertainties in demand electricity planning.

25           COMMISSIONER GUNDA: So are you seeing kind of -

1 Liz, is anything you can comment on, is it kind of volatile  
2 or it's really well packed those months? Six and 10,  
3 especially the shorter months is what I'm thinking.

4 MS. PHAM: Yeah, I'm not quite sure if I have a  
5 good answer for that. Quentin.

6 MR. GEE: I think maybe we could go to some  
7 different slides that might be helpful for us to maybe, I  
8 think it's backwards. A couple slides.

9 COMMISSIONER GUNDA: 28 I think is the one here.

10 MR. GEE: Yeah, there we go. Thank you. Thank  
11 you.

12 COMMISSIONER GUNDA: So Quentin, I think what I'm  
13 thinking is right on the electricity, especially when we  
14 focus on reliability, we are focusing six to 10. Obviously  
15 7, 8, 9 is really important. That's the most important.

16 COMMISSIONER GUNDA: I'm just wondering how the  
17 six and 10 as shoulder months, how different are they? Do  
18 they closely match with 7, 8, 9 or are five and four,  
19 right? For example?

20 MR. GEE: We could take a closer look at that. I  
21 mean yeah, we took the averages. There are some surprising  
22 dips in months.

23 So here what we're looking at is the quarterly  
24 basis. I think as Liz pointed out before we took the  
25 average of these months because the data is monthly, but

1 there is a little bit of noise in the data and we're not  
2 sure what's driving it, but there's appear to be some  
3 pretty clear dips in some months and we didn't want that to  
4 just make it too scattered.

5 I would say that I think, yeah, we'd have to look  
6 at the monthly inputs there, but I believe that six for  
7 light-duty is a little bit closer to July's level, but  
8 maybe not so much October's level. I think October is going  
9 down, you can see October on the light-duty going down a  
10 little bit. I think that's a well-established pattern, but  
11 I think that that six is a little bit higher and maybe six  
12 being high and I think April in particular dips a lot in  
13 light-duty. So they are canceling each other out to a  
14 certain degree. Yeah -

15 COMMISSIONER GUNDA: At this point, it might  
16 still be, it's still in the kind of hundreds, right. I  
17 think we're okay, but as the population goes up, I think  
18 those shoulder months are of interest for us to kind of dig  
19 into a little bit more.

20 MR. GEE: Okay.

21 COMMISSIONER GUNDA: So I just want to flag that  
22 as kind of an opportunity for us to dig into the second  
23 piece. I wanted to just make sure, I think it goes to  
24 Commissioner Monahan's comment on the hydrogen. I think  
25 hydrogen is an interesting issue in terms of policy.

1           COMMISSIONER GUNDA: So we can the hydrogen hub,  
2 as I think Quentin knew, what I heard from you is it's also  
3 kind of a more national policy and that might drive some of  
4 what happens in terms of interstate transport and stuff. So  
5 just wanted to see if we can run some policy sensitivities  
6 that we could use to understand. I think there's a planning  
7 component and I definitely like the way we are doing the  
8 planning, completely supportive of that. But could be run a  
9 couple of sensitivities on the price of hydrogen because as  
10 you go towards 2030 timeframes where I'm kind of beginning  
11 to struggle is we kind of caught off guard in terms of long  
12 lead time resources on the electricity planning, right?

13           COMMISSIONER GUNDA: Whether it's substation  
14 upgrades or distribution upgrades, whether it's  
15 interconnection challenges. We have to plan solid 5, 6, 7  
16 years ahead of time and having those insights on what could  
17 happen based on different sensitivities of prices might be  
18 really helpful for us to think through some of the  
19 elements. So just wanted to frame that. Happy to hear any  
20 comments you might have immediately.

21           MR. GEE: Thanks, Vice Chair. I think that we are  
22 to a certain degree doing some of those sensitivities in  
23 Senate Bill 1075. That is not a part of the forecast but it  
24 is related to the forecast work and we did do some high  
25 hydrogen scenarios where we reduced the price of fuel cell



1 electric trucks and we reduced the price of hydrogen. And  
2 in those results, Maggie actually was able to show that we  
3 do see higher adoption in the case of class eight trucks.  
4 There are some other issues that I think we're a little bit  
5 - with developing those scenarios under 1075 it was a  
6 little bit more just assuming just additional penetration  
7 consistent or otherwise informed by what we've seen at the  
8 Air Resources Board and the scoping plan work that they've  
9 done. But, yeah, I think those - and then also the demand  
10 scenarios work that we are going to be doing, which is a  
11 follow on to this. We will also have some high hydrogen  
12 scenarios as well. Those will be informed I think by this  
13 1075 work that we've already done.

14 MR. GEE: Was there something in addition to that  
15 that you were thinking of or -

16 COMMISSIONER GUNDA: Yeah, thank you for putting  
17 on the record of the 1075 work and then the importance of  
18 that. I see the 1075 similar to the scoping plan and other  
19 elements, which is giving you an opportunity to think about  
20 some sensitivities and then the next question is which of  
21 those sensitivities might we want to leverage for the  
22 planning itself?

23 COMMISSIONER GUNDA: So I think that kind of  
24 conversation is what I'm thinking about is how do we even  
25 set up that conversation given the long lead time impacts

1 on some of the planning issues. But I'm glad that you  
2 raised the 1075 because that's exactly where my brain was  
3 is how do you take the 1075 work and how do you implement  
4 into a planning regime that allows for enough time to  
5 actually plan and it doesn't just suddenly show up. And how  
6 do we capture that into a planning regime is where I'm  
7 going with that. So the last maybe comment but -

8 COMMISSIONER MONAHAN: Can I add a question onto  
9 that, Vice Chief?

10 COMMISSIONER GUNDA: Yeah, absolutely.

11 COMMISSIONER MONAHAN: I mean the hydrogen  
12 chapter of the IEPR does have this scenario and it  
13 highlights here's if hydrogen prices drop, here's the  
14 implications. Of course more hydrogen but also more  
15 electricity to generate that hydrogen and thinking through,  
16 I mean this also applies to the grid, about what's the  
17 electricity implications and we have to make some  
18 assumptions about how much of that hydrogen is being  
19 produced here versus other places here in California. But  
20 it is an interesting idea to think more about should their  
21 in the demand forecast be this kind of low hydrogen price  
22 scenario. What it means if all the, it would kind of be, I  
23 don't know it would be the high electricity case. It's  
24 unlikely that all the hydrogen is going to be produced here  
25 in the state of California. And we're kind of pushing the

1 boundaries about what we think. If the price of hydrogen  
2 got down to \$5 a kilogram, what does that mean? And it's  
3 kind of transformational I would say on the transportation  
4 side, but how that gets integrated with the demand  
5 forecast, whether there should be this kind of extreme  
6 case. I'd be curious about what your thoughts vice chair,  
7 does that make sense?

8           COMMISSIONER GUNDA: Yeah. Commissioner Monahan,  
9 I'm just kind of thinking through this in the discussion of  
10 some of the comments we heard around the three pillars. Or  
11 some of the conversations we've heard in SB 100 and the  
12 change of regime in SB 100 too because SB 100 in the  
13 previous discussions just assumed it's going to be all the  
14 green hydrogen produced in California is going to come from  
15 onsite generation.

16           COMMISSIONER GUNDA: And, to your point, this  
17 could have incredible implications on good reliability and  
18 even having the necessary systems in place for wires. So I  
19 kind of lean towards safeguarding our work to include those  
20 impacts sooner than later, even if they're marginal. And if  
21 we feel uncomfortable because we don't really - there's too  
22 many uncertainties at least putting that as a part of  
23 forecast to say here's kind of - I think to Commissioner  
24 Monahan's point, what you might lose in electric charging  
25 of the trucks will still be impacting on hydrogen

1 production.

2 COMMISSIONER GUNDA: I mean in the end you might  
3 actually have the same demand, not that. So if I'm hearing  
4 Commissioner Monahan's perspective, too, I think we are in  
5 alignment to think about at a minimum how are we going to  
6 have this conversation on an ongoing basis, at a minimum.  
7 And when is the right time to incorporate those elements  
8 into the grid planning.

9 COMMISSIONER GUNDA: Two, I mean a likely  
10 slightly higher level, is there a minimum amount we can  
11 begin to bake in on the grid impacts? That seems  
12 reasonable. That doesn't push us over because we have to  
13 think about the rate impacts and the feasibility of  
14 actually building, but I just wanted to put that on the  
15 team. You know, by the time we adopt this, having something  
16 along those lines would be helpful. A tier system of  
17 approach.

18 Mr GEE: Yeah, I definitely agree both points.  
19 Commissioner Monahan and Vice Chair. Yeah, I think as  
20 Commissioner Monahan pointed out, the truly high  
21 electrification case will be the high hydrogen case if  
22 we're going to produce hydrogen from electrolysis, which  
23 seems to be the only scalable - I don't want to speculate  
24 too much, but it appears to be one of the only scalable  
25 approaches to getting hydrogen at those levels. I think

1 there are some interesting questions.

2           So right now we just evaluate the hydrogen  
3 demand. We're not really thinking about where or the fuel  
4 demand actually we don't - in our work here, at least, work  
5 on these other issues about fuel demand, gasoline demand,  
6 those kinds of things. We don't really think a lot about  
7 the supply issues around supply of - at least for our  
8 forecasting work, we don't think about where does the  
9 gasoline come from, where does the electricity come from?

10           We just kind of say we need this many gallons  
11 need this many kilowatt hours. And so similarly we say we  
12 would need or we expect to be demand that there's this much  
13 demand for hydrogen kilogram, kilograms of hydrogen.

14           I think probably what we would want to do, and  
15 need to talk more with the rest of the demand forecasters,  
16 is where would this come into play? It might come into play  
17 at the industrial level, but there's also some important  
18 questions about what's going to be the cheapest approach to  
19 generating hydrogen because your levelized cost of hydrogen  
20 could be quite low if you go completely offsite, you build  
21 your little solar location. It's not tied to the grid and  
22 you run your electrolyzers there because you don't have to  
23 worry about transmission distribution costs or other -  
24 you're kind of vertically integrating your production  
25 process there. So that might be one pathway.

1           The other pathway is to tie yourself into the  
2 grid, maybe try to generate it on site or those sorts of  
3 things. Definitely a lot of questions to get at there and  
4 we're not really sure where the market's headed. I mean the  
5 hydrogen hub I think is going to be really helpful for us  
6 to learn about where we would be going. But yeah, we're  
7 going to continue to have those conversations throughout.  
8 Or begin the conversations I think in deeper, at a deeper  
9 level and continue to monitor where we're headed in the  
10 market with that. Because hydrogen's a particularly useful  
11 point because it then becomes a source of demand and is an  
12 issue, of electricity demand. So we do need to really think  
13 that through. Might be something to be done in the  
14 industrial area or we might need a whole new segment, but  
15 certainly a critical point as we see developments and if we  
16 can get the levelized cost of hydrogen down, then we  
17 probably will see more uptake in the transportation sector  
18 and need to be aware of the electricity system impacts.

19           COMMISSIONER GUNDA: Yes, I mean - by the way,  
20 I'm really glad we baked in some time because I feel like  
21 there is so much opportunity to have these conversations in  
22 a public setting so people can then react. And we get some  
23 information and having a conversation flowing because I  
24 think the more we are able to set the stage for stakeholder  
25 input, the better it is. So thank you Quentin for, and

1 Heather, for kind of baking this time.

2 COMMISSIONER GUNDA: I have two thoughts. I just  
3 frame it and then I'll defer to Commissioner Monahan and  
4 Heather next steps here in the morning session. So I'm  
5 looking at slides again. Incredible work on the regional  
6 disaggregation. Thank you for that work and the thoughts  
7 that's going in there. Couple of pieces on that. When we  
8 talk about the regional disaggregation, Liz, I think the  
9 12.5 percent allocation also on the end route, so there's  
10 two elements, right? So the regional disaggregation that  
11 Maggie presented and then you presented on the regional  
12 allocation.

13 COMMISSIONER GUNDA: Could we just expand on that  
14 a little bit on the basis of the assumptions? Like, how are  
15 we specifically looking at - what's the data that's driving  
16 the assumption, let's say on the 12.5 percent. And,, Maggie  
17 on your side in the regional disaggregation, I wonder who  
18 presented that. I apologize if it was both Liz, just how  
19 are we, what assumptions are actually driving our thinking  
20 around that?

21 MR. GEE: Yeah, or Liz -

22 MS. PHAM: Actually Quentin, can you take this?

23 MR. GEE: Sure. Yeah. So really it's DCFC  
24 charging on highway corridors I think is a particular  
25 challenge for us because sometimes people will just, as you

1 could imagine, someone you might fill up at the local gas  
2 station that's near the highway and you're just driving in  
3 town all the time. A similar effect could be seen there as  
4 well.

5           So what we did is we used - we used the EVI PRO  
6 or the EVI road trip tool that is used in 2127, actually  
7 helps inform some of the work that we are some of the work  
8 that we did here and I think they had about 10 percent,  
9 maybe 12 percent or so. And we just decided that just to be  
10 safe, we would add that in. I should stress here that we're  
11 not sort of adding additional load. We're sort of  
12 redistributing the load regionally. And one of the reasons  
13 why we noticed this problem was because there's an  
14 additional product that comes after the IEPR called the  
15 Load Bus Allocation.

16           And one of the big problems that we ran into with  
17 that was that we conserved electricity within different  
18 forecasting zones. And forecasting zones in the northern  
19 part of the state and other rural areas didn't have enough  
20 gigawatt hours available to them to account for potential  
21 road trips. And so we used the road trip as the EVI road  
22 trip baseline 10 percent, 12.5 percent or so of demand. We  
23 pulled that out of everywhere and redistributed it back.  
24 And a lot of forecasting zones got their load, got a lot of  
25 that load back. So we're not saying it all goes into rural



1 areas or something like that, but it was just something  
2 that will allow us to conduct better work on our load bus  
3 allocation. And we think also it will help the IOUs plan a  
4 little bit better because the IOUs that do have a lot more  
5 urban density, we are anticipating this still will be a lot  
6 of DCFC charging there. But we're not anticipating quite as  
7 much of that compared to some of the other areas that maybe  
8 have a little bit more highway traffic or highway only  
9 traffic. Does that get at the question?

10 COMMISSIONER GUNDA: Yeah, it does. And here's a  
11 suggestion and I think at least a recommendation for us to  
12 think through, we do have those 10,000 gas stations of data  
13 that we gather and I think looking at the potential  
14 gasoline consumption, I don't know if we have that level of  
15 disaggregated information and maybe it's not indicative of  
16 exactly what the patterns are. Just want to uplift that  
17 dataset we have and see if there is an opportunity to dig  
18 into some trend analysis on that as we think through next  
19 year.

20 COMMISSIONER GUNDA: I just want to flag that as  
21 an opportunity because I'm beginning to see the equity  
22 intersection here both on electrification but also air  
23 quality in opportunity. So just want to uplift that  
24 conversation to think about.

25 COMMISSIONER GUNDA: And before I hand off,

1 Maggie, I apologize. I was driving when I heard the first  
2 set so I didn't really know who slides or what, but that's  
3 why I was calling you on some of this. But thank you so  
4 much. This is great and I'll pass it back to Commissioner  
5 Monahan.

6 COMMISSIONER MONAHAN: Well I had a question  
7 about, well I think you guys know I convened the ports  
8 collaborative. We meet about quarterly and the ports are of  
9 course huge loads as you're off-road data indicated. And  
10 they're also very interested in hydrogen. I think for a lot  
11 of this off-road equipment that's going to be a point of  
12 intersection, maybe much more willing to pay a higher price  
13 for some of the performance characteristics that they see  
14 with hydrogen. So I think there's a lot of modeling in the  
15 off-road sector, especially specific to ports that is  
16 interesting and maybe somewhat unique in terms of the huge  
17 load.

18 COMMISSIONER MONAHAN: And can you talk about how  
19 you're thinking about these single - maybe ports and  
20 specifically because I think they are pretty specific use  
21 case, but data centers are somewhat similar in terms of a  
22 huge load to the grid and how are we thinking about any  
23 analysis specific to, let's just start with ports -

24 COMMISSIONER GUNDA: Before you jump in. Can I  
25 just add a couple points to Commissioner Monahan just as

1 you think through.

2           COMMISSIONER GUNDA: I think when you were  
3 talking about offload and I wanted to wait until the second  
4 half of today to ask about a couple of intersecting  
5 questions there. The transportation element touches other  
6 sectors now, so the offload kind of touches the ports and  
7 ag and we got a lot of interest from the ag sector on  
8 thinking through how to support ag electrification and  
9 such. So I think just uplifting Commissioner Monahan's  
10 question through the broader lens. And also the  
11 uncertainties of future economic growth or technology.  
12 Especially as we think about data centers with AI. We've  
13 heard a 10 x growth in Bay Area, for example. One 30,000  
14 foot level. How are you thinking about that and more  
15 specifically Commissioner Monahan's point on ports and ag?

16           MR. GEE: Yeah, great question. I would say I  
17 think you probably want to have the Demand Analysis Branch  
18 touch more on the issue of servers and those sorts of  
19 issues that tie into there. But that is, I mean servers,  
20 cannabis, these other issues are really - they can be big  
21 sources of demand and that's something that they're going  
22 to be working on.

23           When it comes to the transportation side of  
24 things, definitely there are these kind of weird - when we  
25 think of transportation, we think of people trying to get

1 somewhere, but there are these important questions around  
2 moving stuff around a defined location like at a port or at  
3 an agricultural site.

4           So the off-road model right now we do have some  
5 kind of baseline population data around the vehicles that  
6 are operating at these sites already. So we have sort of a  
7 baseline population of how many, what are they called,  
8 rubber tire gantry lifters, they lift up a shipping  
9 container.

10           There are also other devices that are a little  
11 bit more mobile. So there's all kinds of different devices  
12 that currently use a lot of combustion power. And we're  
13 anticipating the off-road model anticipates growth or  
14 penetration of electric into that.

15           One of the things we definitely need to make sure  
16 that we're doing in the long run is finding a way to  
17 integrate in hydrogen into that model and coming up with  
18 feasible options there. Because right now we assume that in  
19 lieu of combustion fuels it moves over to electricity. But  
20 as Commissioner Monahan pointed out earlier, and I think we  
21 had at the SB 1075 workshop, we had a discussion about how  
22 some of the ports are looking into hydrogen as well.

23           If one of the reasons why - so the reasons might  
24 be associated with the performance issues. Hydrogen, it can  
25 be much faster to refuel. You don't have heavy batteries in

1 some of these devices or in some of these vehicles so you  
2 can get a lot more bang for your buck or bang for your  
3 kilogram of weight that's added onto the device. So that's  
4 an important consideration there. But I think a lot of it  
5 is going to come from the fact that they're concerned about  
6 electricity loads as well. And, again, so onsite  
7 electrolysis for hydrogen production would actually add  
8 more load because of the round trip efficiency that is you  
9 need a hundred units of electricity could get you like 90  
10 ish units of movement in a battery electric car, a vehicle.  
11 A hundred units of electricity through electrolysis,  
12 through a fuel cell, et cetera is only going to get you  
13 about maybe 40, 50, maybe a little bit more units of  
14 movement or energy units of movement there.

15           So probably the ports are going to need to be  
16 getting the hydrogen offsite if they're worried about the  
17 grid constraints on the site.

18           But yeah, there's a lot of shore power actually  
19 already going on. And shore power is the largest thing at  
20 the ports. There's a lot of shore power already going on,  
21 but there is a rapid requirement for 2027 for most of the  
22 shore power adoption there. So no running your engines and  
23 burning bunker fuel or whatever at the port. And then  
24 there's also that equipment there, the cargo handling  
25 equipment. Those, we do anticipate a lot of load there. I

1 think there's a little bit of disagreement from what we're  
2 hearing from some sources versus others about what the  
3 assumptions should be about what the load is going to be  
4 from some of those devices. We probably shouldn't be  
5 assuming that these things are going to be operating at  
6 full power 100 percent of the time. So we have to come up  
7 with scenarios and say, okay, well these things stop. They  
8 move around, they park people take breaks. There's all  
9 kinds of other activities that occur to where we don't want  
10 to say that things are going to be operating at full  
11 capacity. We want to make sure analysis doesn't assume  
12 that.

13 COMMISSIONER MONAHAN: Is it possible, Quentin,  
14 that we would get to a place where we could disaggregate  
15 results by port?

16 MR. GEE: Yeah, I think that's actually going to  
17 be our goal. One of the things that are, so again, I  
18 constantly talk about the load bus allocation, but this is  
19 kind of our new thing that transportation has been a part  
20 of in the last year or so, year and a half, two years. We  
21 do aggregate. We are beginning to think about load more  
22 geographically speaking. And this year I think with the  
23 load bus allocation, I think I mentioned before, the off-  
24 road model, that big sort of donut that I showed with all  
25 that load. That right now goes just into the baseline

1 forecast and it's just built into all the system load that  
2 the demand analysis branch focuses on. But what we want to  
3 do with the load bus allocation is at least pull the port  
4 out, the port stuff, the shore power and the cargo handling  
5 equipment.

6           And then also maybe, I'm not quite sure what we  
7 can do at the early stages now, but maybe do that with ag  
8 this year. We're not quite sure yet what can be done. But  
9 we probably need to then just find which substation or  
10 maybe there's two, are tied to each port and come up with a  
11 plausible way to allocate the load to those facilities. So  
12 yeah, that's something that we will be working on this year  
13 with our load bus allocation. It still will go into the  
14 baseline forecast in terms of the overall CAISO load shape  
15 and the utility load shapes or load profiles that we see.  
16 But, yeah, we do want to I think build that in as an option  
17 for saying, Hey, yeah, these ports also are going to be  
18 experiencing some additional load here that you might not  
19 have expected. It's not as big as medium and heavy duty. If  
20 you look at it, it's about, I think it adds up to 1500 or  
21 so gigawatt hours for ports in 2035, whereas freight is  
22 closer to 12,000 gigawatt hours or 11,000 gigawatt hours.  
23 So it's not as large, but it's very concentrated in a few  
24 select locations. And a similar thing with ag, it's very  
25 constant, so ag is not that large either, but it also is

1 very concentrated in a few key points. And those are also  
2 areas in ag where there's not necessarily a whole ton of  
3 capacity in fairly isolated locations.

4           COMMISSIONER MONAHAN: That's great to hear,  
5 Quentin. It's really exciting that you're moving - the team  
6 is moving towards that approach. And I know the ports are  
7 really interested in this, so we could even have a sample  
8 port and they have a list of all the equipment that they're  
9 planning to electrify and it would be interesting at some  
10 point to work with one specific port and really triangulate  
11 what our demand forecast is, finding, what their own  
12 analysis and see if we can come up with deeper analysis for  
13 each of the ports. And I think they're so important for  
14 goods movement. They're also going to be so important when  
15 it comes to offshore wind development. And that's going to  
16 be its own special set of analytical products that we're  
17 working of course to support from another angle, but I  
18 think it's a great evolution.

19           COMMISSIONER GUNDA: One comment on that thought,  
20 I think Quentin and I, this is where the lines between the  
21 demand forecasting, demand scenarios, DER and supply,  
22 everything's kind of blurring with the work we are doing  
23 right now. And also it's blurring between the policy and  
24 planning, right? It's like we're in this interesting phase,  
25 which creates opportunities for such good work and we can



1 dig in.

2 COMMISSIONER GUNDA: So couple of things, the  
3 busbar allocation and the port electrification and I would  
4 just say port electrification and broader decarbonization  
5 and so tied to the supply side analysis on which power  
6 plants can you retire in those load pockets. The  
7 transmission potential transmission constraints. So I  
8 really would like to continue to support the work you're  
9 doing on the demand office is doing on the overall  
10 disaggregation of busbar loads.

11 COMMISSIONER GUNDA: I want to just think through  
12 a couple of elements data needs. Are we at a place where is  
13 there a threshold for us to go back and update our data  
14 regulations? Which ones do we want? I mean, I don't want to  
15 do regulations for the sake of regulations. If we can get  
16 it through supply forms, that's great. But is there an  
17 opportunity there? Two, the DER work that PUC has done last  
18 this year with the contracts like Kavala and such who have  
19 been also adopting different analyses for distribution  
20 level planning. And I know IOUs are looking at it too, for  
21 their own work.

22 COMMISSIONER GUNDA: Is there a way to uplift the  
23 conversation on the way the load is happening at large and  
24 how do we continue to make incremental but valuable  
25 improvements to forecast to support that conversation? So

1 we don't necessarily have to duplicate, but if we can  
2 leverage other elements of work that's been done, that's  
3 probably also another way to approach it.

4 COMMISSIONER GUNDA: But tremendous work, team.  
5 Liz, Maggie, just really good presentations. The way you  
6 approach the presentations is awesome. Thanks, Quentin. And  
7 thanks to the entire forecasting team. I have no further  
8 questions. Thank you.

9 COMMISSIONER MONAHAN: And I don't either, but  
10 it's been such a pleasure to have this conversation. It's  
11 nice to be able to, with Vice Chair Gunda, be able to muse  
12 on these issues and really it's such impressive work. I  
13 just can't even tell you to see the change over the last  
14 four years has just been amazing. And a lot of this has to  
15 do with the fact that transportation electrification is  
16 becoming so much more of an important aspect of our demand  
17 forecast. So just thanks to you Quentin, and to the whole  
18 team, really just amazing work.

19 MR. GEE: Great. Thanks both of you.

20 MS. RAITT: Beautiful. Thank you. We have one  
21 question from an attendee and Heidi Javanhakht is available  
22 to go through that with us. So go ahead Heidi.

23 MS. JAVANBAKHT: Hi. Good morning, everyone. So  
24 we do have one question in the A and A from Robert Perry  
25 from Synergistic Solutions.

1 MS. JAVANBAKHT: So his question is, one  
2 unmentioned aspect concerns the fact that vehicle charging  
3 refueling is critical infrastructure requiring a minimum  
4 level of energy resilience that can only be delivered with  
5 onsite adjacent distributed generation / hydrogen  
6 production. Are any resilience considerations being  
7 considered in calculating load modifier scenarios?

8 MR. GEE: Yeah. Thanks, Robert, for your  
9 question. I think what I would say here is that we conduct  
10 forecasting very much at a system level. I think we saw on  
11 Liz's maps, on her slides, we break the state into about 20  
12 forecasting zones. The utilities make up the bulk of those.

13 I would say overall, we really don't think at  
14 that very, very close sort of site level resilience  
15 consideration. Those are important aspects of ensuring that  
16 we have reliable access. I can imagine people being  
17 concerned about things like public safety power shutoffs,  
18 et cetera, but we're really sort of evaluating the forecast  
19 at this level where we're trying to think about system  
20 planning, distribution planning, and informing transmission  
21 planning. Certainly there are critical components there,  
22 but that's a little bit outside of where we focus, but  
23 definitely an issue for concern when we start thinking  
24 about those site level challenges.

25 MS. RAITT: I think that's all the questions from

1 the audience.

2 And so thank you so much Liz and Quentin and  
3 Maggie again and Commissioners for that really great  
4 conversation and presentations this morning.

5 So we are done with our morning part of the  
6 workshop unless Commissioners if you wanted to make any  
7 remarks. Otherwise we can break for lunch. Okay.

8 So we'll be back here at one o'clock and we'll  
9 start, we'll go ahead and keep this open, but we'll stop  
10 recording for the lunch break and resume back at one  
11 o'clock. Look forward to seeing everyone. Thanks.

12 (OFF THE RECORD AT 11:39 a.m.)

13 (ON THE RECORD AT 1:01 p.m.)

14 MS. RAITT: All right, welcome back everybody for  
15 our afternoon session on this IEPR workshop. So we'll go  
16 ahead and jump in in the afternoon and hear about  
17 additional achievable scenario results for energy  
18 efficiency and the fuel substitution. And so Vice Chair  
19 Gunda, did you, I think you said you didn't or maybe  
20 Commissioner Monahan, did you want to make any remarks? I  
21 know you just told me and I can't remember what you said.  
22 Sorry.

23 COMMISSIONER MONAHAN: I think the vice chair is  
24 going to be leading this since he's deep in the weeds on  
25 this and I'm going to be having to leave pretty soon

1 actually for another event.

2 MS. RAITT: Okay, thanks.

3 VICE CHAIR GUNDA: Thank you, Heather. You always  
4 check on me so that's good. Yes, thank you all and welcome  
5 back everybody. I think I just wanted to say thanks to the  
6 transportation team this morning. It was a really good  
7 conversation on both the elements that the transportation  
8 team is able to implement to enhance the forecasting for  
9 not only planning purposes but also policy options and  
10 discussion. And then I believe we had some robust  
11 discussion on some additional refinements we could continue  
12 to foster in the forecasting.

13 And this afternoon I think is another important  
14 element, specifically the additional achievable energy  
15 efficiency, achievable fuel substitution and behind the  
16 meter generation forecast and storage, which are all teeing  
17 up the conversation on the building decarbonization. So  
18 without further, without any further delay, I would just  
19 pass it on to Ingrid Neumann to kick us off with the  
20 additional achievable energy efficiency and fuel  
21 substitution results. Thanks.

22 MS. NEUMANN: Alright, here we go. Let's move on  
23 to the title slide. There we go.

24 Good afternoon, Commissioners and stakeholders.  
25 My name is Ingrid Neumann and I'm presenting the results

1 for Additional Achievable Energy Efficiency, AAEE, and the  
2 programmatic portion of Additional Achievable Fuel  
3 Substitution, AAFS, for the 2023 IEPR cycle. Next slide,  
4 please.

5           So the objective of these two load modifiers is  
6 to continue to focus on firm programs and projections.  
7 Since the core scenarios will be used for planning and  
8 procurement purposes. As in previous iterations, staff has  
9 developed variations around these most probable futures to  
10 show other possible outcomes given less or more effort and  
11 ability to realize the potential of existing or proposed  
12 energy efficiency and fuel substitution programs. As  
13 developed in 2021, AAFS continues to be conceptualized  
14 separately from AAEE. Next slide, please.

15           Any overlap between these load modifiers, as well  
16 as any potential overlap with the load modifiers in the  
17 baseline energy demand forecast are accounted for and  
18 removed. Only achievable energy efficiency savings or fuel  
19 substitution impacts above and beyond what is already  
20 incorporated in the baseline energy consumption forecasts  
21 are retained in the load modifiers. Both AAEE and AAFS  
22 reduce gas consumption while AAEE also reduces electricity  
23 consumption, AAFS increases it. Thus we call AAEE savings  
24 and AAFS impacts. Both load modifier increments and  
25 decrements are relative to the baseline electricity and gas

1 consumption on an annual basis. Electricity consumption is  
2 also modified by both AAEE and AAFS on an hourly basis.  
3 AAFS may contain both programmatic inputs, which I'll be  
4 discussing in my presentation, as well as technology-based  
5 fuel substitution modeled by our fuel substitution scenario  
6 analysis tool, which will be described in subsequent  
7 presentations by my colleagues Nicholas Janusch and Ethan  
8 Cooper. Next slide, please.

9           So when we design the scenarios, our general  
10 approach is to start at the bottom and build Upworks. We  
11 start from conservative in scenario one at the bottom in  
12 red and go up to more optimistic or aggressive scenarios.  
13 So here the red and orange are conservative and would be  
14 the minimum impacts expected to occur. Sometimes that might  
15 include firm commitments, so existing programs or standards  
16 that are not yet incorporated in the baseline forecast and  
17 then some newly existing programs. Now for three and four,  
18 three being in green - scenario three, that's our reference  
19 scenario. It's something that we like to call reasonably  
20 expected to occur. So it's something where there's still  
21 uncertainty, of course, around these newly developed and  
22 funded programs, but they are expected to occur in some  
23 shape. Then there's a "blue skies" or slightly optimistic  
24 version of that scenario here in blue, number four. And the  
25 green and blue scenarios are the ones that are used for the

1 forecast load modifiers.

2 Moving on to the next slide, please.

3 We have the more "blue skies," or more  
4 optimistic, are aggressive scenarios in darker blue number  
5 five and violet and number six, that are policy focused. So  
6 these really ratchet up, add more speculative programs.  
7 These might meet some 2030 SB 350 doubling goals or other  
8 mid-century type goals once we've ratcheted everything up  
9 to the possible and the most optimistic view of what's  
10 possible for energy efficiency and fuel substitution given  
11 current knowledge. So those are not used for the forecast,  
12 just three and four and for energy efficiency too. So we'll  
13 go into that in a second. Next slide, please.

14 So first, some general things that were developed  
15 for the programmatic pieces of AAFS and AAEE in the 2023  
16 IEPR cycle. We have utilized, updated and enhanced versions  
17 of the savings, accounting, aggregation and extrapolation  
18 methodology - methodology and tools previously employed for  
19 2021. Historical data, of course, was updated and then the  
20 potential savings projections were updated based on that in  
21 all the existing workbooks. New workbooks were added based  
22 on recent programmatic activities in the last two years.  
23 And we added some capability to the tool. So we have  
24 building type disaggregation and can output by forecast  
25 zone, not just by utility.



1           There was an addition of some basic cost  
2 calculations for each scenario so that the value of various  
3 energy efficiency and fuel impacts can begin to be  
4 quantified for later work this year and next year. And then  
5 we also enhanced the input data as well as the software  
6 tools to allow for better extrapolation of potential  
7 savings to mid-century and, again, that supports some  
8 future work as well as extrapolation to the forecast  
9 period. This forecast goes from 2024 to 2040 and some of  
10 our input data doesn't reach all the way out to 2040. So we  
11 do need to do some extrapolation there. Next slide, please.

12           So we also have a more robust analysis of beyond  
13 utility programs. So these are the programs that are not  
14 run by IOUs or POUs and not reported by them, than those  
15 that were originally evaluated in the 2021 IEPR, such as  
16 the technology and equipment for clean heating or tech  
17 program as well as consideration of additional programs not  
18 included in the 2021 IEPR because those had not quite been  
19 conceived of yet. Next slide, please.

20           So we also reworked our Title 24 Analysis. The  
21 Title 24 Building Energy Efficiency Standard Analysis is  
22 now based directly on measures at the sector and segment  
23 level. This measure based analysis can then be rolled  
24 forward as specific measures are likely to be adopted for  
25 future code cycles. So we know what was adopted for the

1 2022 code cycle, where we might see some impacts from that  
2 this year and more next, but the 2025 are proposed and then  
3 we can speculate as to what the future code cycles can look  
4 like after that.

5           So that's more precise and updated than the  
6 original percent better than approach that was originally  
7 developed in support of SB 350 tracking and projections. We  
8 also updated the compliance pathway most likely to be  
9 chosen by builders to meet the 2022 Title 24 requirements.  
10 That was the first time that the options included either  
11 enhanced efficiency measures via performance calculation or  
12 electrification of one of the end uses based on climate  
13 zone, so either space or water heating. And so there's an  
14 electrification component there and some of the assumptions  
15 that went in there as to what builders might choose was  
16 updated based on new information. Next slide, please.

17           We also added some new workbooks that are listed  
18 here. The really important ones would be equitable  
19 electrification and so that's California-funded as well as  
20 the Clean Energy Reliability Investment Plan is also  
21 California-funded. It's a little bit less clear as to how  
22 much of that might go to demand site objectification, but  
23 some of those enabling technologies would likely allow for  
24 additional electrification. So that small contribution was  
25 estimated now, but the equitable electrification has two

1 components, a direct install and incentive piece, and both  
2 of those are expected to have significant impacts. Could be  
3 as early as 2025, maybe 2026 or 2027 either if we looked at  
4 this very conservatively, but it'll certainly have  
5 significant impacts there. Same thing for the Inflation  
6 Reduction Act. The IRA funding come - coming from the  
7 federal government. There are two programs there HEEHRA, a  
8 High Efficiency Electric Home Rebate Act and that might be  
9 bundled with or be applied in a similar way as the  
10 Equitable Building Decarbonization Incentive Program. And  
11 then separately the IRA funded whole-house Homeowner  
12 Managed Energy Savings or HOMES program is an energy  
13 efficiency retrofit program. Then we updated some locally  
14 targeted electrification impacts like we've had local  
15 government ordinances, but we've added some geographic  
16 aggregation to those that's actually showing where those  
17 impacts are more likely to occur as well as added many new  
18 local ordinances that have been developed since 2021, and a  
19 few load serving entity decarbonization programs are  
20 included there as well. Next slide, please.

21 All right, so we would build up our scenarios and  
22 the scenarios mostly - at least the ones that we're using  
23 for forecasting would include all of these elements at  
24 various levels. So for the IOU programs, we rely on the  
25 CPUC's potential goal study as well as IOU data captured in

1 CEDARS on more recent fuel substitution activities. Then  
2 that is something that's updated every two years, the  
3 CPUC'S potential end goal study. So it really is the most  
4 recent vintage of that study. The CMUA, which supports the  
5 POU's and where we get our POU energy efficiency program  
6 forecast from is updated every four years.

7           So we would still be using the one that we  
8 received in 2021. That doesn't include fuel substitutions.  
9 So we did that separately after conversations with the POU's  
10 in 2021, and we've made some updates to that based on  
11 subsequent conversations, which basically we'll look at the  
12 data when we get there. So then we also include some future  
13 title 20 and federal appliance standards that aren't  
14 included yet in the baseline forecast. And for this time  
15 around the 2022 and future building standards as well. Next  
16 slide.

17           So that's the bulk of what goes in. And then we  
18 have a plethora of other programs that operate outside of  
19 the utility energy efficiency portfolios. And that's what  
20 we've kind of bundled as the beyond utility. And there's a  
21 collection of traditional energy efficiency programs where  
22 we've updated the data but they've fundamentally not  
23 changed since 2021, other than having more historic data  
24 honing in on that.

25           Then the build and tech programs that are run as

1 per SB 1477, those were included for the first time in  
2 2021, but we separated those because we actually do have  
3 two years of historical data now for tech and we redid that  
4 modeling to reflect that. Then we added workbooks on the  
5 California Electric HOMES program, the Wildlife Natural  
6 Disaster Resiliency Rebuild Program, which allows for  
7 electrified homes to be rebuilt in areas affected by fires  
8 and such, as well as the affordable housing and  
9 sustainability community programs. The portions or their  
10 phases that have focused on electrification. So the last  
11 phase had mostly electrification and then those most recent  
12 phase where they just closed, I want to say bids but that  
13 doesn't feel like quite the right word, but they just took  
14 the solicitations for those and the impacts will be seen in  
15 the next few years. So then, of course, the IRA funded hura  
16 and homes as well as equability decarbonization direct and  
17 install and incentive programs and the piece of syrup that  
18 might contribute to electrification. Next slide, please.

19           Then lastly, local ordinances encouraging  
20 electrification of some or all end uses as well as other  
21 target electrification including local natural gas bans.  
22 Then the last bullet here is not something that's included  
23 in the programmatic piece, but it is included in AAFS.

24           So we do the zero emissions appliance technology  
25 characterization and that's modeled by the FSSAT and that

1 includes CARB's state implementation plan, but you'll have  
2 to wait for the presentations after mine to get the details  
3 on those. So next slide, please.

4           So this is the spectrum from red to violet here  
5 of the scenarios that were developed for electricity, AAEE  
6 savings and AAFS incremental impacts. You can see that the  
7 AAEE values are all negative. Those are savings from the  
8 baseline. They start from a small modest amount in red  
9 going to a very optimistic scenario six and violet. And,  
10 similarly but in reverse, for the electrification, the more  
11 electrification we have, we do add a small amount of  
12 electricity. We hope that it's efficient electrification  
13 and the programmatic electrification is efficient. They  
14 wouldn't incentivize it otherwise. So that really does show  
15 you the range of scenarios that we're looking at in total.  
16 Now those are not all being considered for the forecast. So  
17 let's go to the next slide and look at gas, same kind of  
18 spread but both AAEE and AAFS reduce gas consumption.  
19 Alright, let's go to the next slide.

20           So now we're focusing on the two scenarios that  
21 are used for the forecast. In green, the statewide planning  
22 scenario. So this is AAEE, so energy efficiency,  
23 electricity saved on the top, gas saved on the bottom, the  
24 dotted lines and the open circles reflect the 2021 IEPR  
25 vintage forecast. And the 2023 IEPR vintage forecast is

1 shown in solid lines, in solid dots. So the most noticeable  
2 thing here is that the extrapolation things really change  
3 in 2030. It's less optimistic based on more recent data and  
4 updated modeling. In 2021, we only did the forecast out to  
5 2035 and there was a lot of extrapolation after 2028, 2029,  
6 2030. And we have updated data that informed a better  
7 extrapolation this time around.

8           So on the next slide we have the same type of  
9 comparison for the AAFS, the fuel substitution piece and  
10 there, so for electricity, a AAEE 3 and AAFS 3 were both  
11 used for the planning forecast and then I don't mean to say  
12 for electricity, but for the planning forecast, a AAEE 3  
13 and AAFS 3 are used and for the local reliability scenario  
14 in blue it's AAEE 2, so that's more conservative, so less  
15 energy efficiency and more aggressive fuel substitution AAFS 4.

16           So that's a little bit more electricity being  
17 added. So we're definitely calling it conservative from an  
18 electricity or electric grid standpoint here. And what we  
19 can see here is that in the 2023 vintage, the AAFS forecast  
20 and extrapolation plus 2030 as affected more than AAEE was,  
21 and that's really due to the consideration of carb state  
22 implementation plan in most of the data streams. The state  
23 implementation plan was adopted in September of 2022 by  
24 carb. So this was after the 2021 programmatic or the 2021  
25 IEPR vintages of AAEE and AAFS were developed and CARB just

1 started rulemaking on that in May of this year. So Ethan  
2 Cooper will give you more information on that, but it's  
3 important to recognize that there is a drop off of impacts  
4 here from the programmatic AAFS, but some of that will be  
5 seen then in the SIP modeling or other zero emissions  
6 standards modeling from the FSOT.

7           So it's not necessarily gone. Then what we'll  
8 also see when we look at the breakdown a little bit as far  
9 as the four main data streams is that the beyond utility,  
10 which includes the IRA funded and equitable building  
11 decarbonization programs. Those actually grow a bit. So we  
12 really don't see that drop off in the AAFS 4, or the blue  
13 local reliability scenario, which is looking at the  
14 reference case of those. Whereas in the green, we're  
15 looking at a more conservative version of those. But then  
16 it does drop off in the long term like after 2035 because  
17 that's when those programs expire and the first year  
18 savings for those will cease unless they're somehow re-  
19 upped. So next slide, please.

20           So this is our process flow overview diagram for  
21 the data integration tool. Kind of shows us the four big  
22 data streams. We have the CMUA's PG study that gives us the  
23 POU projections. The one that we received in 2021 did  
24 include projections out to 2041. So we didn't have to do  
25 any extrapolation there ourselves. Then with the 2023



1 CPUC's potential end goal study for the IU programmatic  
2 projections, that went out to 2034. So we did work with the  
3 CPUC team on extrapolating that to 2040. And then for codes  
4 and standards and the rest of the beyond utility, those we  
5 extrapolate ourselves in the beyond utility workbooks that  
6 are managed by the Energy Commission. So then the data  
7 integration tool takes all those pieces together, makes the  
8 parts cumulative that aren't yet so that we end up with  
9 cumulative Additional Achievable Energy Efficiency and fuel  
10 substitution projections for each year starting in 2024 out  
11 to 2040. That can be presented by utility or forecast zone,  
12 of course it can be bundled to planning area or attack. And  
13 then sector now building type end use and scenario. Then we  
14 have an hourly tool for the electricity portion where we  
15 can apply 8760 load shapes by end use and sector to the  
16 annual values to obtain the hourly values for each year at  
17 that same level of disaggregation. Next slide, please.

18           So for the planning scenario. Now we have it, I  
19 was going to say black on white, but it's green on white,  
20 right? Because we were color coding it green for the  
21 planning scenario. We're looking at the reference case of  
22 AAEE 3 and the reference scenario for AAFS 3. So this is  
23 reasonable to occur but with greater uncertainty about  
24 penetrations and volume of impact. And we do include newly  
25 developed and funded programs.

1           So we have the IOU programs, the POU programs,  
2 the Title 24, we include the 2022 standards at reference.  
3 Those are happening, those are active. Then the proposed  
4 Title 24, 2025 vintage at a conservative level and some of  
5 the Title 20 and federal appliance standards that may occur  
6 in the near term future in a conservative view. Next slide.

7           So then we have the following programs in a  
8 reference modeling view. Tech, right? That's existing. We  
9 have two viewers of data on that, the targeted  
10 electrification, a lot of the other ones that we had in  
11 2021 as well and the other ones that are pretty well  
12 understood. Then we have the beyond utility programs that  
13 are included in a conservative modeling view on the right  
14 hand side. And those include ones where some like the top  
15 three asset rating, smart meter, s-ship heat pump, water  
16 heating and the FPIP. Those have been around but there's  
17 still a fair amount of uncertainty about the impacts there.  
18 So we keep that at a conservative level. And then, of  
19 course, we have the new programs which are not all fully  
20 designed. There's some proposals going out, there's draft  
21 for the equitable building decarbonization program, direct  
22 install programs, comments coming in on those.

23           So those are still being sorted out, but the  
24 funding is there. And they will occur in some way and I  
25 expect it to have some decent sized impacts.

1           So let's move on to the next slide. So now we're  
2 looking at the local reliability scenario. So we do look at  
3 a little bit more of a blue skies version of the green  
4 reference case. So we do look at AAFS 4 there. We take the  
5 potential goal study scenario, so not the one that was  
6 decided on upon the goal. That's the one we use for the  
7 reference, but we take something where there's a little bit  
8 more fuel substitution there. And it turns out that the  
9 modeling actually changes between, there's a break point  
10 there and there's no way to hybridize that. So there's a  
11 fairly good gap between what's in AAFS 3 and 4 for IOU  
12 programs at least.

13           Then the other ones are a little smoother. We  
14 include Title 24 standards, which include that compliance  
15 pathway via electrification, right. That's proposed in 2025  
16 and we expect something similar to be proposed at a higher  
17 level in 2028 and we take a conservative view of what might  
18 be proposed thereafter talking to subject matter experts.  
19 So then we include everything that was included in AAFS 3,  
20 but we take a more reference view, we're less conservative  
21 about the viewpoint that we take. And really what that  
22 means for the equitable building programs and the IRA  
23 funded programs is expecting that impacts might occur  
24 sooner rather than later. And that the impacts are also  
25 greater per dollar spent. Maybe you can spend 15 percent

1 for administration, but then how much of the remainder is  
2 spent on what type of measures versus upgrading panels and  
3 things like that where you don't get a direct impact.

4           So taking a little bit more of a reference view  
5 of that instead of a conservative view like we did in a  
6 AAFS 3. So next slide, please.

7           So then we have the AAEE 2 went back to orange,  
8 right? Because we went from our scenarios, we built them up  
9 like the rainbow, the spectrum of colors are red, orange,  
10 yellow, but we didn't do yellow. That one's hard to see. So  
11 red, orange, green, blue, more blue and violet. And we're  
12 trying to stay in that green / blue area except where we're  
13 really looking at a conservative picture for local  
14 reliability where we want to kind of pull back on the  
15 energy efficiencies and that's always been agreed upon with  
16 the electricity planning agencies.

17           So for the AAEE 2, it really is just pulling  
18 back, looking at something slightly less than the goals  
19 scenario used in the reference taking a scaled back view of  
20 POU programs, taking a conservative view of the current  
21 Title 24, 2022 vintage and so on. Taking out some programs  
22 and leaving the ones that were still included and looking  
23 at them a little bit more conservatively.

24           So let's move on to the next slide and look at  
25 some data. So we have these sort of wedges, they look like

1 wedges, but the extrapolation, it can't be linear anymore.  
2 It's not what the data is showing. We have here on the  
3 right hand side the electricity and gas savings for  
4 scenario AAEE 3 for 2023. The three sort of wedges, if you  
5 will, are in blue, the IOU programs in green, the POU  
6 programs in purple, the codes and standards and in red the  
7 beyond utility. So we can see if we compare to the next  
8 slide, what we had in 2021 that the purple codes and  
9 standards seems to have shrunk a lot and that's not because  
10 anything bad happened really, they're still having that  
11 energy efficiency. It's just there were a of appliance  
12 standards in 2021 that were still included in the load  
13 modifier and that had now being captured in the baseline  
14 forecast and the rest of the pieces remain fairly stable.

15           If we look at the blue and the green and the red,  
16 those sizes haven't changed so much. I mean the IOU savings  
17 have dropped a little bit, but nothing like they had in the  
18 previous two vintages of the IEPR. So let's go ahead and  
19 move to the next slide and look at AAFS 3.

20           So that's our reference scenario for fuel  
21 substitution that's used for the planning scenario and it  
22 does look awfully small, right? It's not a pretty picture  
23 to look at. There's a reason behind that. We wanted to put  
24 it on the same scale as what we had in 2021. So that's  
25 already letting you know that what we estimated in 2021 in

1 the first cut of AAFS was greater than what we're finding  
2 in 2023. So let's go ahead to the next slide.

3 And we would say that really the biggest  
4 difference here is that the IOU program - programmatic  
5 impacts drop after 2030 due to the potential end goal study  
6 considering the CARB's state implementation being active at  
7 that time.

8 So that's the blue piece here. It drops  
9 significantly. And there are really two reasons for that.  
10 So you see, well that also happens before 2030. So yes,  
11 after 2030 we can say everybody's considering the SIP plan,  
12 which we didn't consider in 2021, but before that the  
13 modeling was simply different even before 2030. The values  
14 are smaller due to calibration to actual electrification  
15 program performance now in 2023 that we have two years of  
16 data for. Previously in 2021, we only had small samples of  
17 unevaluated pilot program data. And the PG study, for  
18 example, was directly calibrated to the more mature energy  
19 efficiency programs. And, I mean, we knew that there were  
20 more mature, but we didn't know that the difference was  
21 going to come out like this. So we did update the modeling  
22 for 2023 that may also affect the POU programs in the  
23 future. We did have some conversations with some POUs and  
24 we did adjust that green wedge based on those.

25 They didn't roll out some of the programs as soon

1 as they expected, but they're still planning on doing those  
2 programs. So those first year savings were pushed outwards.  
3 So it was basically they're just delayed a little bit. So  
4 the total cumulative value in the out years will be  
5 slightly less. Then for a lot of other things. We also  
6 considered that the State Implementation Plan after 2030  
7 would not allow incentivizing pure electrification. You'd  
8 have to incentivize even higher levels of efficiency for  
9 that type of electrification and then quibble about where  
10 that might end up. But in a great part - some of this is  
11 going to be all of these updates in 2023 are based on two  
12 years of electrification data that we didn't have in 2021  
13 and the impending SIP. So we do really allow for fewer  
14 programmatic AAFS impacts in the forecast. But some of  
15 these impacts are of course then recouped by the FSSAT  
16 modeling of the state implementation plan, which my  
17 colleagues Nick and Ethan will discuss in the subsequent  
18 presentations. So let's move on to the local reliability  
19 scenario.

20           This is the data for AAEE 2. So the slightly more  
21 conservative energy efficiency scenario and really the  
22 trends are very similar as for AAEE 3. Nothing dramatic  
23 here. Let's go to the next slide.

24           Compare that to what we had in 2021. It's mainly  
25 the extrapolation that's changed in some of the codes and

1 standards went into that baseline there.

2 Let's move on to the AAFS 4 scenario used for the  
3 local reliability scenario. Here we can perhaps see the  
4 impacts of the IOU programs taking the SIP into account a  
5 little bit better. We see that blue wedge or chunk really  
6 change around 2029, 2030. It starts dropping. And same  
7 thing with the codes and standards. They're meeting their  
8 technical limits on electrification in new construction at  
9 some point. So the first year impacts won't be seen too  
10 long after 2030.

11 But then the IRA and equitable building  
12 decarbonization do grow, at least during the time that  
13 they're funded. But then past 2035, they start dropping.  
14 They start dropping off. I think most of the funding the  
15 first year should go through about 2032 for most of these  
16 programs. But then unless they're extended, we would just  
17 see those cumulative values decay.

18 So in the next slide we can compare that to what  
19 we had in 2021 and it's not - the difference isn't as big  
20 for AAFS 4 as it was for AAFS 3, but it follows the same  
21 trends for the exact same reasons. So let's move on.

22 Right, okay, so this should help us segue into  
23 Nick's presentation about some of the way that we're  
24 treating the state Home Implementation Plan, other zero  
25 emissions standards. But really kind of clarifying, just



1 like Quentin said earlier this morning, these load  
2 modifiers, they go through a whole refresh every what I  
3 like to call a full IEPR cycle, which is every odd year. So  
4 in 2021 we developed the six AAEE scenarios. And it was the  
5 first time that we developed explicit AAFS scenarios. And  
6 then there was the statewide planning forecast, which  
7 included AAEE 3, AAFS 3, just like it does now. And the  
8 local reliability scenario AAEE 2, AAFS 4 and in some way  
9 just like it does now, except now what goes into AAFS is  
10 more.

11           So what happened, next slide, in 2022 was the  
12 adoption of the sip and we knew that that would have a  
13 pretty big impact on the electricity forecast. So we took a  
14 first stab at putting that into the forecast and did so in  
15 the local reliability scenario. So we didn't update any of  
16 the programmatic pieces. So all the pieces I talked about  
17 today and showed you on left side comparing the 2021  
18 vintage to the 2023 vintage, those were only programmatic  
19 pieces, but then in 2022 we added that FSAP modeling of the  
20 SIP on top of AAFS 4 for that local reliability scenario on  
21 the bottom.

22           So what we're doing this time is a little bit  
23 different. Next slide, please, is we're explicitly putting  
24 that in both of these scenarios in the reference the  
25 statewide planning forecast as well as the local

1 reliability scenario. And Ethan Cooper will give you the  
2 details of those specific FSAP modeled pieces and how they  
3 overlay on or how they work with the AAEE and AAFS  
4 portions. And then, of course, the programmatic pieces,  
5 notably the fuel substitution scenarios, those are updated  
6 and they take into account the state implementation plan  
7 being in effect in some way, shape or form around 2030. So  
8 let's move to the next slide.

9           So a little bit more there. You're trying to  
10 drive it home that both of these forecast scenarios include  
11 FSAP modeling to account for the zero emission standards.  
12 The AAEE electricity and gas scenarios can be separated.  
13 Those are savings of electric end use or a gas end use.  
14 Then AAFS electricity and gas are joined. You can't  
15 separate that because you're taking away gas and adding  
16 hopefully a small amount of electricity in its place. So  
17 when we do the final statewide planning forecast and the  
18 local reliability forecast for these two load modifiers, we  
19 do prioritize fuel substitution over energy efficiency  
20 because the GHG impacts are approximately four times  
21 greater for electrification than for energy efficiency.

22           Next, and the way that we do that, and Ethan will  
23 go over this and show you some really nice graphs on how  
24 this affects the baseline forecast, is of course everything  
25 here with these load modifiers is incremental to a baseline

1 forecast.

2           So we start with the baseline gas demand forecast  
3 and we remove gas displaced by the programmatic fuel  
4 substitution. So the piece of AAFS that I showed you today,  
5 so AAFS 3 programmatic or AAFS 4 programmatic, depending on  
6 if I'm looking at the statewide planning forecast or the  
7 local reliability scenario. Then Ethan applies the FSOT and  
8 using the scenarios that he has defined to account for zero  
9 emissions appliance standards which also include CARB SIP.  
10 Then finally for any gas that remains after that, we can  
11 apply the AAEE, which is all programmatic, which I also  
12 showed you today to any remaining gas consumption.

13           So the reason we have this hierarchy and we show  
14 it this way is because it's not possible to look at maybe  
15 the most aggressive, maybe not with the forecast, but if  
16 you were looking at some sort of policy work and if you're  
17 looking at AAFS 6 and AAFS or AAEE 6, there wouldn't be  
18 enough gas left to apply that amount of energy efficiency  
19 then.

20           And, in fact, we prefer the electrification to  
21 the energy efficiency on a GHG basis for these policy  
22 analyses. So that's why you'll see those definitions in  
23 Ethan's work as well.

24           So I think final slide here, just again  
25 foreshadowing that zero emissions appliance standards are

1 modeled as part of AAFS 3-6, 3 and 4 being ones that go  
2 into the two forecast scenarios and I haven't talked about,  
3 right? That's something that's done separately. So then my  
4 last slide where I thank you very much and I think we'll  
5 all take questions at the end of course, unless someone has  
6 something pressing.

7 MS. RAITT: Great, thanks Ingrid. This is  
8 Heather.

9 Actually, I think there's one question that might  
10 be helpful just to address right now. I'm just going to  
11 jump in, Cynthia. Thanks. You'll we'll handle the questions  
12 later, but is there a link, this is from Alberto A., it  
13 says, is there a link to the 2023 hourly file supporting  
14 this data?

15 MS. NEUMANN: I haven't presented any hourly  
16 work.

17 (LAUGHTER)

18 MS. RAITT: Sorry.

19 MS. NEUMANN: But that will be included with the  
20 final manage forecast and when Quentin was talking about  
21 the peaks and all those kinds of things. And those will be  
22 made available, but they're not available yet.

23 MS. RAITT: Super, thank you. Thank you Ingrid  
24 for your presentation too.

25 MS. NEUMANN: Thank you.

1 MS. RAITT: So then we'll just move on to  
2 Nicholas Janusch and then from after him we'll hear Ethan  
3 Cooper. So thank you. Go ahead Nick.

4 MR. JANUSCH: Yeah, good afternoon. I'm Nicholas  
5 Janusch, and I'm the acting supervisor of the Efficiency  
6 Analysis Unit in the Advanced Electrification Analysis  
7 Branch in the Energy Assessments Division.

8 By, along with my colleague Ethan Cooper, we'll  
9 build off from Ingrid Neumann's presentation of the  
10 programmatic AAEE and AAFS results and we'll discuss the  
11 impacts from the inclusion of the zero emission appliance  
12 standards to the AAFS. I'll be setting the stage and  
13 characterizing the scenarios used for the zero emission  
14 appliance standards while Ethan Cooper will discuss the  
15 results. Next slide.

16 I should go back one, please. Sorry. But before  
17 we get into the details of modeling these zero emission  
18 appliance standards, I want to give a quick background to  
19 model these zero emission appliance standards. We use our  
20 Fuel Substitution Scenario Analysis Tool, also referred to  
21 FSSAT for short. It is a what if policy tool that we have  
22 used previously and it models the incremental impacts of  
23 fuel substitution at different levels of AAEE and AAFS  
24 assumptions. It was first used for the AB 3232 California  
25 Building Determination assessment, the 2022 Demand

1 Scenarios Project, and last year for the 2022 IEPR Demand  
2 Forecast Update where the first time we included the  
3 impacts from the zero emission appliance standards in the  
4 local reliability scenario. Next slide.

5           Let us give some context of why these zero  
6 emission appliance standards are incorporated in our  
7 additional achievable load modifiers. Back in 2021, the  
8 Energy Commission adopted the AB 3232 California Building  
9 Decarbonization Assessment Report, which assessed the  
10 potential for the state to reduce the emissions of  
11 greenhouse gases in the state's residential commercial  
12 building stock by at least 40 percent below 1990 levels by  
13 2030.

14           One of the major takeaways from that assessment  
15 was that enormous technological transformation must occur,  
16 especially in existing buildings. For the state to reach  
17 its 2030 direct emission targets. Soon after the adoption  
18 of the California Building Decarbonization assessment, the  
19 Energy Commission recommended in the 2021 IEPR 6 million by  
20 2030 heat pump goal. Soon after that, after Governor Newsom  
21 in a letter to the Air Resources Board in July '22, we  
22 stated the 6 million heat pump goal and also set a new goal  
23 of 3 million climate ready and climate friendly homes by  
24 2030 and 7 million of those homes by 2035.

25           So the direction is for a huge amount of heat

1 pumps. And last month at the building's electrification  
2 summit hosted by the California Energy Commission and the  
3 EPRI, the Electric Power Energy Institute, the top global  
4 building appliance manufacturers and distributors committed  
5 to help California achieve the 6 million heat pump goal. So  
6 targets, goals and commitments are all well and good, but  
7 they are not forecast scenarios. So what mechanism will  
8 actually get California across the finish line? That's  
9 where the zero and low NOx appliance standards that are  
10 occurring at the state and local level matter. These  
11 standards will be enforced at the point of sale. We're  
12 starting likely in 2027 in the Bay Area and 2030 for the  
13 state where any purchase appliance for space and water  
14 heating must adhere to the zero NOx appliance standard.  
15 And, to be clear, these regulators target ground level  
16 ozone pollution, particularly nitric oxide emissions or NOx  
17 emissions.

18           They do not target GHGs but GHG reduction or a  
19 code benefit of these regulations. Regardless, such  
20 regulations will reduce the amount of gas combustion  
21 appliances, so decrease gas demand, and increase the amount  
22 of electric appliances. So increase electric demand.

23           Finally, given the potentially impactful adoption  
24 of the 2022 state strategy for the state implementation  
25 plan by the California Air Resources Board the Energy

1 Commission, incorporate these zero emission appliance  
2 standards as part of the 2022 IEPR update and the local  
3 reliability scenario. These zero emission appliance  
4 standards has significant impacts to the forecast. So  
5 looking back in that forecast, the 2035 net peak megawatt  
6 impact from the standard for the 2022 local liability  
7 scenario was between 2,900 and 3,000 megawatts. Next slide,  
8 please.

9           So what are these various standards? Statewide,  
10 the Air Resources Board is looking at space and water  
11 heating standard in 2030. They could be looking at other  
12 end uses and may also include propane. The rulemaking  
13 process began earlier this year and the a vote by the Board  
14 is expected in 2025. At the local level, the Bay Area Air  
15 Quality Management District adopted their standard in March  
16 2023, where in 2027 water heaters must adhere to the  
17 standard and 2029 space heaters go into effect. For the  
18 South Coast Air Quality Management District, they are are  
19 in the early stages of their process, but their potential  
20 standard will include both low emission and zero emission  
21 appliance standards that include multiple end uses beyond  
22 space and water heatings - heating. They will likely begin  
23 for the residential sector in 2029. Next slide, please.

24           However, these standards are all well and good,  
25 but they come with a lot of uncertainties. I have broken



1 them down to two. So first up is the regulatory  
2 uncertainty, whether they happen and what form they take.  
3 So there are uncertainties about the regional regulatory  
4 differences. So in other words, what's going on at the  
5 local, state and federal level. Uncertainties about the  
6 timing of when the standards will go in effect. And,  
7 lastly, whether the scope of the regulations, so where the  
8 entire sector including mobile homes and propane will be  
9 part of it.

10           The second type of uncertainty is the - I  
11 describe as the adoption and compliance uncertainty. So how  
12 will people respond and will there be what I theme as  
13 strategic avoidance. There might be a better way of  
14 phrasing it, but strategic avoidance by people. For  
15 example, buying gas appliances right before the standard  
16 goes in effect, buying appliances out of state or the  
17 territory or any other behavior of trying to avoid  
18 switching to a zero emission appliance.

19           The other type is similar as the compliance rate  
20 on uncertainty. How many people will actually comply to the  
21 standard and how prevalent will be beyond when 2030, when  
22 things go effect and in the outer years. And then finally,  
23 the readiness of the standards uncertainty. Will  
24 manufacturers be ready, and as I mentioned before, they've  
25 committed to the 6 million heat pump goal. And will the

1 grid infrastructure be ready for this regulation? What are  
2 the risks and consequences from the impacts for both the  
3 gas and electric systems if such rapid transformation  
4 occurs? So we want to minimize risks with electric system  
5 planning if the regulation is adopted as proposed. And on  
6 the flip side, if there is not such rapid adoption gas  
7 system managers need to minimize risks with gas reliability  
8 so that it is available. Thus, we recommend a conservative  
9 gas scenario with higher gas demand for gas system  
10 planning. But having stated these uncertainties, staff is  
11 confident that these zero emission appliance standards are  
12 reasonably expected to occur in some form and thus are  
13 included in our local reliability scenario and planning  
14 forecast. Next slide.

15           We still do not have a crystal ball in figuring  
16 out how everything will turn out, but as facts change and  
17 we learn how much progress is made, we will update our  
18 inputs and assumptions and how we characterize these  
19 standards. For example, the Bay Area Air Quality Management  
20 District have implementation working groups and will  
21 require interim reports two years prior to the compliance  
22 date for their zero NOx standards. The report should  
23 include information on technology development, market  
24 availability of zero NOx space heating appliances,  
25 potential costs of compliance, infrastructure readiness and

1 availability of incentive programs to decrease these costs.  
2 Given that their first standard goes into effect for water  
3 heaters in 2027, we expect to get a glimpse and learn of  
4 the readiness when the report is submitted on January 1,  
5 2025.

6 Further, as I mentioned before, the Air Resources  
7 Board is in the middle of their proceeding and expect to  
8 have a Board vote in 2025. Our CEC team will continue to  
9 track the Air Resources Board regulation and if you're  
10 prepared to rerun the model, if the Air Resources Board  
11 proposed regulation is different than our assumptions.  
12 Depending on the timing of such changes, we could adopt new  
13 results mid-year if needed. Next slide, please.

14 Now let's discuss the characterization of these  
15 zero emission appliance standards where I will first  
16 discuss the AAFS levers for each scenario as well as the  
17 assumed adoption rates. But, before I begin, I would like  
18 to state that these assumptions were developed in  
19 collaboration with the Air Resources Board. We are  
20 reviewing these assumptions with stakeholders including  
21 CPUC, CAISO, and the Air Resources Board. As can be seen in  
22 the table, four of the six scenarios contain zero emission  
23 appliance standards. AAFS 3 through AAFS 6. Each scenario  
24 has different levels of programmatic AAEE and AAFS as  
25 Ingrid Neumann presented. AAEE 3, for the first column,

1 what we're theming as AAFS 3 is there, but AAEE 2 in the  
2 remaining three scenarios. Why since energy efficiency and  
3 fuel substitutions are rival or competitive and AAEE 2  
4 allows for more fuel substitutes to occur. So going from  
5 left to right, having AAEE 2, it allows for more fuel  
6 substitution, as you get more aggressive with the  
7 scenarios.

8           The amount of programmatic AAFS increases in  
9 aggressiveness. Now how our FSSAT modeling works is it  
10 takes the baseline gas forecast and gives haircuts by each  
11 AAEE and AAFS scenario. So the more programmatic AAFS  
12 occurs, the less residual gas is available and eligible to  
13 be fuel substituted and thus be impacted by the zero  
14 emission appliance standard. So keep in mind that when we  
15 model these appliance standards scenarios, they're  
16 incremental to the existing programmatic and incentive  
17 activities. Next slide.

18           Now characterizing the zero emission appliance  
19 technology standard that goes into FSSAT all include space  
20 and water heating while a AAFS 5 and AAFS 6 include other  
21 end uses like cooking and clothes drying as well as  
22 residential propane. At the local level all have the same  
23 penetration for the Bay Area Air Quality Management  
24 District. But for AAFS 6 it includes residential end uses  
25 for the South Coast Air Quality Management District

1 starting in 2029. Next slide.

2           The other levers are the technology and adoption  
3 rates. All scenarios have the same set of technologies  
4 being modeled. However, the adoption of these technologies  
5 are evenly mixed where each potential electric technology  
6 has an equal chance of being added. However, for AAFS 6,  
7 the efficiency mix is highly weighted where more of the  
8 higher efficient technologies or heat pump will be adopted.  
9 As seen and read, we modified our AAFS 6 assumptions since  
10 the August workshop from a scenario where it was strictly  
11 the most efficient equipment in the sets that could be  
12 adopted. We revised this even though it would be an  
13 interesting to see this technical potential and impacts,  
14 but a highly weighted mix is a more realistic and more  
15 germane for this forecast.

16           Finally, the adoption rate assumes a linear  
17 adoption rate of 2030, which I'll detail in the upcoming  
18 slides. There is a lot of uncertainty with these rates and  
19 keeping them linear has been the most agreeable path.  
20 Notice that it is the planning forecast where we do a  
21 slight downward adjustment in the adoption of the heat  
22 pumps in the interim years before the standard goes into  
23 effect. Next slide.

24           So here's basically the summary slide without  
25 some red ink on it. Summarizing our assumptions. Next

1 slide, please. But to clarify the focus for today and what  
2 Ethan will present our focus is mostly on the first two  
3 columns, AAFS 3 and AAFS 4, which are included in the  
4 planning forecast and local reliability scenario. Next  
5 slide.

6 As for the adoption and compliance rates,  
7 everything in white are adoption rates that do not vary  
8 across scenarios. They include what is happening in new  
9 construction across the state and what's happening with  
10 replaced on burnout in the Bay Area Air Quality Management  
11 District where for new construction is 100 percent for  
12 commercial sector starting in 2029 and a hundred percent  
13 for residential sector starting in 2026. The Bay Area has  
14 water heaters as being a hundred percent replaced starting  
15 in 2027 and space heaters is being replaced in 2029. Next  
16 slide.

17 Now the green area shows the variation of  
18 adoption rates across the scenarios and the blue shows what  
19 is assumed for residential propane. The replace on burnout  
20 is 100 percent starting in 2030 to adhere to the Air  
21 Resources Board standard. While there is a 10 percent  
22 reductions ramp up rate for AAFS 3 or the planning  
23 scenario. And as can be seen residential propane falls  
24 similar adoption rates as for gas. And to restate again  
25 these assumptions were developed in collaboration with the

1 Air Resources Board. We are reviewing these assumptions  
2 with stakeholders including CPUC, CAISO and the California  
3 Air Resource Board. The direction from our leadership is to  
4 move forward with what we are presenting today. Next slide,  
5 please.

6 Now before I turn it over to Ethan Cooper to  
7 discuss the results of these scenarios, I want to summarize  
8 a few changes since the 2022 IEPR update. The first is the  
9 most major one and Ingrid touched on it, both the planning  
10 forecast and local reliability scenarios include the zero  
11 emission standards. So both not just one. Instead of just  
12 one scenario. We have four and they vary by technology  
13 weighting. Note that last year we assumed highly weighted  
14 efficiency in that scenario. So this year our scenarios are  
15 more conservative and includes more electric resistant  
16 technology penetration. We updated some of our adoption  
17 assumptions based on new information from the local air  
18 districts and now we include residential propane and other  
19 end uses in our scenarios. Lastly, we have updated FSSAT  
20 with the latest data available from the 2023 IEPR forecast  
21 as well as we have updated FSSAT's assumptions on regional  
22 air conditioner penetration rates in PG&E territory. And  
23 that data was generated from analysis by Recurve using AMI  
24 data. Next slide.

25 So thank you so much for your attention. Let me

1 pass it on to our next speaker, Ethan Cooper who is the  
2 technical staff in our units and he will discuss the  
3 results

4 And you have to probably advance a few slides. I  
5 have some appendix slides that give some details about the  
6 zero emission appliance standards.

7 MR. COOPER: All right there. Thank you, Nick.

8 I'm Ethan Cooper and right now I'm going to be  
9 going moving into looking at our results for the  
10 incorporation of the zero risk compliance standards into  
11 our AAFS scenarios 3 through 6, they're being adopted for  
12 the 2023 IEPR forecast. Next slide, please.

13 So for the results here, we're going to kind of  
14 split it up into two main sections. The first section is  
15 going to be looking at our overall energy impacts for all  
16 of the AAFS scenarios that are going to be modeling the  
17 zero emission appliance standard into that includes  
18 scenarios 3 through 6 that could split it up and looking at  
19 both the gas electricity impacts for each of these AAFS  
20 scenarios. We'll taking a look at a bit of an impact  
21 comparison for these scenarios to kind of see for each AAFS  
22 scenario, what are the energy impacts are making some  
23 change to our characterization of ZE standard while keeping  
24 all else equal. Just basically seeing what are really the  
25 major impacts of our technology characterization choices



1 that we have in terms of how it affects our gas electric  
2 impacts for the ZE standard. And then beyond that we're  
3 going to go into a second section which is going to be  
4 looking at really just taking a more deeper dive into the  
5 AAEE and AAFS load modifiers that Nick mentioned are going  
6 to be being used for the demand forecast scenarios.

7           So both for the planning forecast and local  
8 liability scenario. This will include looking at both the  
9 gas and electricity impacts for AAEE and AAFS load  
10 modifiers for our demand forecast scenarios. And then  
11 looking at a comparison of these zero emission appliance  
12 standards, just the impact of the zero appliance standard  
13 for the local liability scenario and the results we have  
14 for the 2022 IEPR update. And then the results we are  
15 seeing for this 2023 IEPR cycle this year. And then lastly,  
16 looking at a bit of view about the added electric  
17 appliances that are coming into, they're going to be  
18 installed into buildings because of our different AAFS  
19 scenarios 3 and 4 for the two demand forecast scenarios.  
20 With that, can you move to the next slide, please?

21           Alright, so I want to just pinpoint again our  
22 major technology characterization assumptions that we have  
23 for the 0 percent appliance standard in each of our AAFS  
24 scenarios because it's going to be important to understand  
25 why the gas impacts for each scenario are going to be

1 changing between scenarios 3 and 6. And it's also important  
2 because when we're doing our impact comparisons, the  
3 changes we're going to be making are to any of the FSSAT  
4 characterization levers we have in the light green boxes.  
5 So like the water heating and space heating choice or the  
6 AQMD choice. So just wanted to go get that out there before  
7 we start going all in on the results. So with that we move  
8 on to the next slide.

9           Alright, so now we're going to be going over our  
10 overall impacts for gas savings, electricity additions for  
11 the AAFS scenarios 3 through 6. Next slide, please.

12           So starting with AAFS scenarios three and four,  
13 we see that scenario 3 and 4 have a fairly large difference  
14 between the two of them and that difference is being  
15 predominantly driven by the programmatic impacts that we  
16 see for both AAFS scenario 3 and 4. See there's about 640  
17 MM therms more gas savings in scenario 4 starting in 2030.

18           But by 2040 that does go down to about 84 MM  
19 therms. And the reason why it goes down starting I think in  
20 2036 is because of the fact that our zero emission  
21 appliance standard gas savings for AAFS scenario 3 started  
22 to become greater than what we see for AAFS scenario 4 in  
23 that year, elbow to 2040. And we're going to go into more  
24 as to why that is happening. We're going to take the deeper  
25 dive into AAFS scenarios 3 and 4 that are being used to the

1 demand forecast scenarios. Can you move to the next slide,  
2 please?

3           Then taking a look at our AAFS scenarios 5 and 6,  
4 we can see that the difference between these two scenarios  
5 is much lower than we saw for scenarios four, sorry, three  
6 and four. And the main reason for that is really the only  
7 main difference between scenarios 5 and 6 is the  
8 programmatic contributions and they aren't too different in  
9 these two scenarios.

10           So really the zero return appliance standards,  
11 gas savings or electricity addition impacts aren't too  
12 different between scenarios 5 and 6 or 3 and 4. However,  
13 that impact does come into play when we go between  
14 scenarios four and five as we could show on the next slide.  
15 But overall, the difference between scenarios 5 and 6 are  
16 that scenario 6 saves about 135 MM therms is more gas in  
17 2030 and about 19 MM therms is more in 2040. Move on to the  
18 next slide. Thank you.

19           Yeah, so this is where we're showing the largest  
20 impact between the AAFS scenarios when we bring in the zero  
21 emission supply standard modeling comes between scenarios 4  
22 and 5, and that is just due to the fact that scenarios 5  
23 and 6, as we showed in our characterization table earlier  
24 on in this presentation, are including fuel substitution  
25 for not just water and space heaters for the gas for - gas

1 appliances, but also for fuel substitution of propane,  
2 residential propane, gas and water heaters along with fuel  
3 substitution for the cooking and close rank end uses.

4           So really AAFS scenarios 5 and 6 provide us with  
5 a lot more areas for the zero supply standard to have any  
6 gas savings for fuel substitution to occur leading to this  
7 large difference between the orange line, which is AAFS 5  
8 and the green line, which is AAFS 4. But that can move on  
9 to the next slide to now look at electricity impacts.

10           Here's where we kind of start seeing an  
11 interesting situation where AAFS scenario 3 is kind of  
12 going against what we'd expect it to be doing where instead  
13 of being greater than AAFS scenario 4 throughout the entire  
14 forecast is actually, sorry lower than AAFS scenario 4  
15 throughout the entire forecast. It is actually higher than  
16 scenario 4 starting in 2037. And we can see that the  
17 difference between AAFS scenario 4 and 3 is about 2,300  
18 gigawatt hours in 2030 with scenario 4 being greater than,  
19 but in 2040 it's about 3,100 gigawatt greater, sorry  
20 difference in 2040 with now AAFS scenario three being  
21 greater.

22           We're going to go into why that is different in  
23 the next few slides. But before that I wanted to go onto  
24 the next slide to show the impacts we have for scenario 5  
25 and 6 before we compare all of them together. So you can

1 see that for AAFS scenario 5, we are again seeing the  
2 situation where scenario 5 is much greater, not much  
3 greater, but it is greater than scenario 6 throughout 2030  
4 and beyond. And that is because of the zero emission  
5 appliance standard and how we're modeling it differently  
6 between scenarios 5 and 6. So AAFS scenario 5 saves about  
7 450 gigawatt hours or more electricity in 2030 and about  
8 3,570 gigawatt hours more in 2040. So if we move on to the  
9 next slide, I'll kind of explain the difference between the  
10 two, between why scenarios 3 and 4 look different and same  
11 for scenario 5 and 6.

12           So for the reason why AAFS scenario 5 is greater  
13 than scenario 6 for electricity impact is because of the  
14 fact that for AAFS scenario 6, we're modeling the zero-  
15 emission appliance standard using a technology efficiency  
16 weighting choice of high rather than even, which basically  
17 allows us to be installing more of the higher efficient  
18 appliances into buildings rather than the lower efficient  
19 appliances when we're using the, even waiting for AAFS  
20 scenario 5 leading to an overall reduction in the electric  
21 impact for that scenario. And then for scenarios 3 and 4,  
22 the reason why scenario 3 is greater than scenario 4  
23 starting in 2038 again is because, not because of how we're  
24 modeling the standard, but it's just because of the fact  
25 that the ZE standard has more gas savings for AAFS scenario

1 3 starting in 2036, which leads to starting at 2037, the ZE  
2 standard at a electricity AAFS scenario 3 also started to  
3 become greater than scenario 4 and that goes all the way up  
4 to 2040.

5 Now we're going to go more into depth about  
6 really why it is so much greater where the gas savings were  
7 still AAFS scenario 3 and 4 started getting closer and  
8 closer together, but they did not show AAFS 4 being lower  
9 gas savings is scenario three. We'll go into that later on  
10 when we show the impact comparison of scenarios 3 and 4  
11 alongside the impacts of AAEE as well. So with that, I'll  
12 move on to the next slide.

13 So before we go on to looking into the further  
14 deep analysis on scenarios 3 and 4, I kind of want to go  
15 over our scenario comparison that I discussed earlier. So  
16 for this we're just really looking at what are the major  
17 energy implications of some of our major ZE appliance  
18 technology characterization levers that we had in the table  
19 shown in the beginning of the presentation before we got  
20 into the results section.

21 And for that really we're just showing each of  
22 our AAFS scenarios in their original form, which is  
23 basically all of our solid colored lines on this slide and  
24 the following slides and then comparing them to another  
25 version of that scenario where we've changed one or one or

1 multiple of our assumptions we have and our technology  
2 characterization levers, those light green, those light  
3 green rows that I talked about earlier. And basically just  
4 seeing what is the energy impact of making that change  
5 while making sure we keep everything else for that scenario  
6 equal. So just changing as different assumptions to our ZE  
7 standard technology characterization levers. So for AAFS  
8 scenario 3 and 4, the two choices we made is that first  
9 scenario 3 we wanted to see what is our energy impact of  
10 actually putting in that 10 percent put a line wrap up  
11 adoption rate. Basically we did that by comparing our  
12 original AAFS scenario three with a version of AAFS  
13 scenario 3 called AAFS 3, no low ramp, which is our dashed  
14 or red line that looks at our AAFS scenario 3.

15           But using the normal linear rep adoption rate  
16 that is used for AAFS scenarios 4 through 6, basically the  
17 one that does not have any reduction to the interim years.  
18 And for that one we can see that as we expected the gas  
19 savings that you get for AAFS scenario 3 using that 10  
20 percent reduction to our linear ramp up adoption rate  
21 lowers the amount of gas savings that we would see by about  
22 95 MM therms and 2033 to have used the normal linear ramp  
23 of adoption rate that is being used in all of our other  
24 AAFS scenarios. And then for scenario 4, we're basically  
25 looking at what are the impacts of including the Bay Area

1 AQMD's emission rules into our modeling of these supply  
2 standards. And that is shown by AAFS scenario 4, no Bay  
3 Area AQMD or dash green line that is showing the impacts of  
4 running the same scenario but having the Bay Area mission  
5 rules excluded from our modeling run.

6           And we can see here that the impacts including  
7 AAFS scenario 4, the impacts for AAFS scenario 4 including  
8 the Bay Area AQMD's emission rules provide us with about 35  
9 MM therms more gas savings at 2030 than if we were to run  
10 that same scenario but without the impacts of the zero  
11 emission about, sorry, without the impacts of the Bay Area's  
12 emission rules. So kind of a key takeaway of this slide,  
13 what we can see on the next slide is that there is a pretty  
14 noticeable difference in the different choices we made for  
15 these scenario comparisons, but they aren't quite that  
16 large as we were additionally expecting them to be for the  
17 next slide.

18           This slide is just the electricity impact showing  
19 the same scenario but just reverse energy looking at  
20 different energy, looking at gigawatt hours added rather  
21 than MM therm saved. And so we can kind of see that AAFS  
22 scenario three including that linear, that reduction toward  
23 linear rep of adoption rate reduces the amount of  
24 electricity that gets added for that scenario by about 1040  
25 gigawatt hours in 2030. If we to have run that scenario



1 with the normal linear ramp up adoption rate being used for  
2 the other AAFS scenarios.

3           And then for AAFS scenario 4, we can see that  
4 including the zero emission appliance standard, sorry the  
5 emission rules for the Bay Area AQMD increases the amount  
6 of electricity being added for that scenario by about 426  
7 equal hours. In 2030 that if we were to have run that  
8 scenario without the impact to the Bay Area emission rules.

9           Moving on to the next slide we now wanted to go  
10 see for AAFS scenario 5, how big of an impact is our choice  
11 for including the zero emission appliance standard to be  
12 modeled for other FSSAT end uses? Basically cooking clothes  
13 drying as well as for residential propane fuel substitution  
14 of water and space heating appliances. And that difference  
15 was shown by creating the AAFS scenario 5 only water and  
16 space heating scenario. The dashed orange line that  
17 basically just shows us that including the zero emission  
18 appliance standard modeling for residential propane fuel  
19 substitution as well as for the other FSSAT end uses adds a  
20 considerable amount more natural gas savings.

21           About 670 MM therms in 2040 that approved to have  
22 just run AAFS scenario 5 with only allowing for fuel  
23 substitution from the ZE standard into the water and space  
24 heating appliances. And then for AAFS scenario 6, we wanted  
25 to see what was the impact really for our gas savings on

1 including the South Coast AQMD's emission measures. But we  
2 can see here by 2030 having the zero emission appliance,  
3 the emission measures for the South Coast AQMD adds about  
4 55 MM therms if there's more gas savings for our scenario  
5 in 2030 than if we were to have run the scenario without  
6 including the impact of the zero emission, the impacts of  
7 the South Coast AQMD's emission measures, which is in our  
8 dashed blue line. So with that, if we move to the next  
9 slide.

10 I want to then show the electricity impacts for  
11 AAFS scenario 5 and 6 for our scenario comparisons. So for  
12 AAFS scenario 5, we can see that the inclusion of modeling  
13 the zero supply standard for other Fuel Substitution  
14 Scenario Analysis Tool (FFSAT) end uses and residential  
15 propane fuel and the residential propane fuels really  
16 increases the amount of electricity that gets added for  
17 scenario 5 by about 10,700 gigawatt hours in 2040. And if  
18 we were to have run that scenario without the inclusion of  
19 fuel substitution for those other asset end uses or for  
20 residential propane fuels and then for AAFS scenario 6, we  
21 see that running the scenario with the impacts of the South  
22 Coast AQMD's mission rules adds about 535 gigawatt hours in  
23 2030. Then if we were to have run that scenario without  
24 having the impacts of the South Coast AQMD mission rules be  
25 included. So really it's a noticeable difference for AAFS

1 scenario 6 between running it with and without the South  
2 Coast AQMD, but it's not that large.

3           It's not as large at least as what we see for  
4 running AAFS scenario 5 with or without fuel substitution  
5 for the other FSSAT end uses or for residential propane  
6 fuel substitution. And then the last one that we wanted to  
7 add here was trying to go see what is the impact of running  
8 our AAFS scenario 6, both with using the technology  
9 efficiency weighting that we have for that scenario right  
10 now, which is the high choice. It's basically allowing for  
11 more high efficient appliances to be installed rather than  
12 the lower efficient alternatives compared to running the  
13 AAFS scenario, the dotted line using the evenly weighted  
14 efficiency choice that is being used for all the other AAFS  
15 scenarios. And we can see here that running AAFS scenario  
16 six with our high efficiency weighting gives us about 3,500  
17 gigawatt hours of more less electricity being added to the  
18 grid in 2040 than compared to if we were to have run AAFS  
19 scenario 6 using the even instead of the high efficiency  
20 weighting choice.

21           With that, if we move to the next slide, that's  
22 the end of our overall impacts for all the AAFS scenarios.  
23 We're now going to move into a more detailed impact of the  
24 AAFS scenarios 3 and 4 that are being used with the  
25 planning forecast and low core liability scenario. Next

1 slide, please.

2           So here we're going to be showing the gas impacts  
3 that our AAEE and AAFS load modifiers have to the plan  
4 forecast and again for, I think I forgot to mention this  
5 earlier, but we're only going to be looking at for this and  
6 the following slides, the residential and the commercial  
7 sectors since those are the only two sectors that the zero  
8 emission appliance standard is having any gas fuel  
9 substitution being modeled for. And before we get into  
10 this, I again want to go explain the process that FSSAT  
11 works when it tries to do any fuel substitution  
12 calculations for any FSSAT based fuel substitution.

13           As Ingrid mentioned earlier, at the end of her  
14 slides is that we have our baseline gas forecast  
15 residential and commercial sector, which is any gas  
16 available for any fuel substitution or energy efficiency  
17 measures. That forecast then gets reduced by any of the  
18 impacts we have from programmatic AAFS to give us a  
19 modified baseline forecast that is any gas left over for  
20 any FSSAT based or in this case ZE standard based fuel  
21 substitution. Once that fuel substitution is done, we then  
22 reduce the baseline forecast one more time - that modified  
23 forecast gets reduced to now incorporate the impacts of  
24 programmatic and FSSAT based fuel substitution to leave us  
25 with a revised forecast that gives us any gas left over for

1 any energy efficiency from AAEE to occur for the gas - for  
2 any gas energy efficiency to occur for AAEE scenarios. And  
3 that's where we can see in some cases we may have a chance  
4 where once we only have gas leftover for AAEE after fuel  
5 substitution has been accounted for, we might not have  
6 enough gas actually available for all the AAEE savings to  
7 be achieved and that's what we would show in this slide,  
8 any AAEE savings only showing the savings that are able to  
9 be achieved after we incorporate the impacts of  
10 programmatic AAFS and ZE standard AAFS into the baseline  
11 forecast.

12           So with that I'm going to move on to the next  
13 slide to go show on our baseline forecast, which is our  
14 solid black lineup there, what is the impact for  
15 programmatic AAFS scenario 3 in the planning forecast. We  
16 see that it reduces our baseline forecast by about 3.8  
17 percent in 2040, which we then could compare that to the  
18 next slide.

19           Our ZE standards impact, which is shown here  
20 considerably greater in terms of the baseline gas  
21 reduction. It reduces the baseline gas forecast further by  
22 about 64.1 percent in 2040 and overall has a gas savings  
23 amount of about 3951 MM therms in 2040. So clearly we see  
24 that the ZE standard portion of AAFS is doing a lot of the  
25 gas savings work of the entire AAFS scenario 3. Move on to

1 the next slide -

2 to then add in the impacts of AAE scenario 2. We  
3 can see that it reduces the forecast one step further by  
4 reducing our gas baseline forecast by about 4.4 percent in  
5 2040 to lead to all the different wedges, the programmatic,  
6 ZE standard and AAEE portions of our load modifiers  
7 reducing the baseline forecast by about 72.3 percent in  
8 2040. And this leads to an overall reduction in the gas  
9 savings for all three wedges in 2040 of about 4,450 MM  
10 therms. And move on to the next slide.

11 I want to quickly before going into local  
12 liability scenario kind of show the progression in the  
13 baseline gas reduction we have for our different load  
14 modifiers from 2030 to 2040. And I kind just want to point  
15 out the fact that for the ZE standard we have, even in  
16 2030, a considerable amount of gas savings happening from  
17 the ZE standard, it's about 14 percent in 2030. That's how  
18 much it reduces the baseline gas forecast and they want to  
19 show the substantial jump we have from 2030 to 2040 the ZE  
20 standard, which just shows how much gas savings happen from  
21 2030 onwards because of us now having the zero appliance  
22 standard becoming to full effect and add its a 100 percent  
23 compliance rate. Move on to the next slide and then one  
24 more.

25 Now I'm going to show the impact of the local

1 liability scenario, the local scenarios AAEE and AAFS load  
2 modifiers on our commercial and residential baseline gas  
3 forecast. We can see that for AAFS scenario 4, we have a  
4 considerable amount more baseline gas reduction for AAFS  
5 scenario 4, the programmatic contribution, it's now about  
6 9.4 percent reduction to the baseline forecast in 2040. If  
7 we move on to the next slide.

8           We can see that the zero risk appliance standard  
9 is still out of extra zero - extra natural gas savings for  
10 the fuel substitution from the ZE standard. See that it  
11 reduces the baseline forecast further by about 59.5 percent  
12 in 2040 leading to an overall savings of about 3666 therms  
13 in 2040. But the one thing we do want to note here is that  
14 the baseline gas reduction and the gas savings value  
15 actually has gone down for the ZE standard from what we saw  
16 in the planning forecast. And that is actually important to  
17 know because it is shown here to be kind of made up  
18 actually by the extra gas savings we have for the  
19 programmatic portion of AAFS. This time for the low city  
20 scenario than we had in the planning forecast. And move on  
21 to the next slide.

22           I want to show the final impact we have of our  
23 programmatic AAEE scenario 2. We reduces the baseline  
24 forecast one step further to about reducing it by 3.8  
25 percent in 2040 leading to the total combination of all

1 those wedges, reducing our baseline forecast by about 72.7  
2 percent in 2040 leading to an overall gas savings amount of  
3 about 4,476 MM therms in 2040. I kind of wanted to also  
4 show these baseline gas reduction percentages to just show  
5 how big of an impact are AAEE and AAFS load modifiers  
6 combined have on reducing our baseline gas consumption for  
7 both the residential and commercial sector rather than just  
8 showing the overall gas impacts that each scenario has  
9 alone rather than showing its comparison to the baseline  
10 forecast. If we move one more scenario sorry, one more  
11 slide.

12 I want to go show that again. There's a  
13 substantial jump in the ZE standard gas savings and or I  
14 guess a significant jump in the baseline gas reduction  
15 percentage we have for the AAFS ZE standard in 2030  
16 compared to what we have in 2040. 2030 baseline gas  
17 reduction for the AAFS ZE standard is a bit higher than we  
18 saw in the planning forecast, but again for 2040 we see  
19 that the baseline gas reduction percentage as well as the  
20 gas savings are lower in 2040 than what we saw for the zero  
21 emission appliance standard. So with that move on to the  
22 next slide.

23 So now I want to kind of go show in the table  
24 what are the actual differences between the local liability  
25 scenario and the planning forecasts gas impacts to the



1 demand forecast scenarios between 2030 and 2040. The  
2 important thing to note in this table is that we can see  
3 that the load modifier total in 2030 has a very large  
4 difference between the two gas savings amounts, where the  
5 local liability scenario is saving about 600 MM therms more  
6 gas in 2030 than the planning forecast is. However, I want  
7 to note that that does change in the 2040 values where now  
8 the local liability scenario is still saving more gas but  
9 the difference between the two are considerably lower but  
10 only about 20 MM therms difference. And I want to go  
11 pinpoint that the predominant reason is why that is  
12 happening is because of our AAFS ZE standard. Now having,  
13 as we've mentioned in the slides way earlier, that the  
14 planning forecast ZE standard gas savings in 2040 are going  
15 to be higher than we see for the local liability scenario  
16 in 2040 by about I think 300 MM therm more gas savings for  
17 the planning forecast ZE standard savings than what we see  
18 for the local liability scenario. Move on to the next  
19 slide.

20 I'm going to highlight that the main reason for  
21 that is because of our programmatic AAFS contributions  
22 introducing our baseline gas forecast and the local  
23 liability scenario versus the planning forecast. And the  
24 fact is that the ZE standard really has no difference in  
25 our technology characterization of that standard from 2030

1 onwards. It's only different in the pre-2030 timeline  
2 because we have that production in the interim years of  
3 adoption for the planning forecast then what we do in the  
4 local ability scenario. But beyond that, they have the same  
5 compliance rates for electric appliances that are going to  
6 be replaced each year with - sorry, gas appliances being  
7 replaced each with an electric alternative. That leads to  
8 the fact that if we have a higher AAFS programmatic  
9 scenario, we're going to thereby have a lower amount of  
10 baseline gas available for the ZE standard to replace,  
11 which is what we're seeing here.

12           We have a higher local liability scenario AAFS  
13 forecast, which means we have lower gas available for the  
14 ZE standard to do any fuel substitution on, which is why  
15 when compare to the baseline gas available for any fuel  
16 substitution from the ZE standard for the planning  
17 forecast, which leads to the gas savings for the planning  
18 forecast for the ZE standard to be greater than the local  
19 liability scenario.

20           If we move on to the next slide then I'm going to  
21 go into the electricity impacts now for these two  
22 scenarios. So for AAFS scenario 3, the ZE standard appears  
23 to have quite a large impact in terms of electricity being  
24 added to the grid. Even starting in 2030 when the first  
25 year of full compliance happens for the CE standard and

1 that's also because the programmatic - the AAFS 3  
2 programmatic electricity additions are quite small. We  
3 compare to the ZE standard and to the AAEE electricity  
4 that's being saved by scenario 3. And by 2040 we see that  
5 the overall impact of the ZE standard electricity additions  
6 are about 41,800 gigawatt hours, which we compare to AAFS  
7 programmatic is about 25 times greater amounts of  
8 electricity additions than what we see for the programmatic  
9 portions.

10           And the reason for that is because of the fact  
11 that for the programmatic AAFS that's looking at efficient  
12 electrification, really trying to go incentivize, putting  
13 in the most efficient appliances out there to replace gas  
14 equipment. Whereas for the ZE standard and for the FSSAT  
15 modeling, we're basically allowing for not a majority but a  
16 larger amount of different appliances to replace gas  
17 equipment for every end. Use each of those appliances  
18 having different levels of efficiency that dictate how much  
19 electric gets added for gas or moved for each technology.  
20 And just having that variety of electric technologies out  
21 there means that we have more likelihood of putting in less  
22 efficient appliances that would be increasing our amount of  
23 electricity being added than what we are seeing for the  
24 programmatic portions. And overall our net impact for all  
25 of our AAFS and AAEE load modifiers in 2040 results in

1 about a 31,677 gigawatt hour increase in electricity for  
2 the forecast in the planning forecast by 2040.

3 And that's important to note because of the - go  
4 to the next slide.

5 We're going to compare that to the total we have  
6 connect back total we have to all the AAFS and AEE load  
7 modifiers in 2040 being only about 31,816 gigawatt of  
8 electricity, which is still higher than the planning  
9 forecast but not by much. And the main reasons for that as  
10 we're going to show in the next slide. But before that I'm  
11 going to stay here and just show that zero and appliance  
12 standards savings in 2040 do go down to about only 37,716  
13 gigawatt hours, which now compared to the programmatic AAFS  
14 scenario is only about 13 times higher. And the  
15 programmatic AAFS does go up by a little bit, as we can see  
16 by the blue bars having I guess just being easier to see in  
17 this graph than what we saw in the planning forecast.

18 And we also have lower AAEE gas savings which  
19 makes sense because using a lower AAEE - sorry scenario. So  
20 if you go to the next slide.

21 I'm going to go kind of show impacts of the -  
22 electric impact for our demand forecast scenarios side by  
23 side for the planning forecast and local liability in both  
24 2030 and 2040 to show really explaining why we saw AAFS  
25 scenario 3 electricity impacts being greater than AAFS

1 scenario 4 starting in I believe it was 2038. That's  
2 because as we can see here for the load modifier total, the  
3 last row in our light green boxes, we see that at 2030 the  
4 local liability scenario is adding about 7,365 gigawatt of  
5 electricity where the planning forecast is only adding  
6 about 2363. So there's quite a big difference between local  
7 liability and planning forecast with local liability being  
8 higher. But once we move on to 2040, as I kind of  
9 pinpointed in the graphs and slide before this, we only  
10 have a small difference between the local ability scenario  
11 and planning forecasts at electricity kind of falling what  
12 we have on our light blue row below that showing that there  
13 was only a 20 MM therms difference between the gas savings  
14 and the local reliability and planning forecast.

15           Now we only have about a little bit less than 200  
16 gigawatt hour difference between the local ability scenario  
17 and the planning forecast in 2040 for AAEE and AAFS load  
18 modifiers. And the main contributing factor to those  
19 numbers not being too different is, again, because the ZE  
20 standard has a lot more electricity addition to the  
21 planning forecast than it does in the local ability  
22 scenario, which is just a bit of a byproduct of the fact  
23 that we have more ZE standard gas savings in the planning  
24 forecast than the local liability scenario. And that makes  
25 it so that way the difference between the programmatic

1 gigawatt hour electricity additions in the planning  
2 forecast versus local liability scenario not being great  
3 enough to make up for the difference we see for the ZE  
4 standard being greater in the planning forecast than in the  
5 local reliability scenario. Leading to the situation we saw  
6 in the charts - I think the second chart that I showed or  
7 the first chart I showed for the comparing AAFS 3 and 4 is  
8 electricity impact having scenario three be greater, the  
9 scenario four starting in 2038 and staying the same all the  
10 to 2040.

11 With that I'm going to move on to the next slide.

12 To kind of end off on our energy impact  
13 assumptions or analysis by showing what our local  
14 reliability ZE standard gas impacts were in the 2022 IEPR  
15 update versus what we are seeing for them in our 2023 IEPR  
16 cycle. This year we noticed that the gas standard savings  
17 for the locality scenario are going to be lower for this  
18 IEPR cycle than they were last year. And the primary reason  
19 for that is the fact that we are using a residential  
20 baseline gas forecast for the 2023 IEPR that is lower than  
21 what we are using for the 2021 IEPR that was used when we  
22 ran the ZE standard for the 2021 -sorry, in the 2022 IEPR  
23 update. This leads to just the fact that the ZE standard is  
24 going to have less gas available for any fuel substitution  
25 than what we saw last year. If move on to the next slide.

1           I want to show the electricity impact, which is  
2 actually the reverse what we're seeing for the gas savings  
3 impact. We're now using the - we're now the ZE standard is  
4 actually showing high electricity additions starting in  
5 2030 for the 2023 IEPR when compared to the 2022 IEPR  
6 update. And that is being driven largely by the fact that  
7 our efficiency weighting choice has been changed. What we  
8 were using last year to this year, where last year we were  
9 using a high efficiency weighting choice that basically  
10 gave more priority for the higher efficient appliances to  
11 go be installed to replace gas equipment where now we're  
12 using an evenly weighted efficiency choice that gives more  
13 - or not more priority but basically gives equal priority  
14 to all appliances to replace gas's equipment basically  
15 allowing or - basically having us put in more or less  
16 efficient appliances than what we saw last year. With that,  
17 I'll move on to the next slide, which is kind of the final  
18 slides that I have for this presentation.

19           And this is just basically looking at our  
20 electric appliance equipment that's being installed from  
21 our programmatic and ZE standard portions of AAFS  
22 throughout the planning forecast on this slide and for the  
23 local reliability scenario on the following slide. So here  
24 we can go see this chart showing our residential air and  
25 water heat pumps and electric resistance technology that

1 are being installed for each AAFS scenario with blue  
2 showing our heat pumps and then orange showing our electric  
3 resistance. But electric resistance only being for our  
4 water heating end use as the HVAC end use is only looking  
5 at heat pump technologies. And one last thing note here is  
6 that this chart is again only looking at the residential  
7 sector and not looking at any commercial heat pumps since  
8 we're not currently able to in our FSSAT tool model the  
9 impact or model the amount of heat pumps being installed  
10 for the commercial sector. And it also does not incorporate  
11 any of the heat pumps that have been previously installed  
12 in years prior to 2024.

13           So we also have a line at the very top which is  
14 called 6 million residential heat pumps, which is kind  
15 showing our target similar to the one that we have. Similar  
16 to the one that was established in the 2021 IEPR that Nick  
17 mentioned about having 6 million heat pumps be installed by  
18 2030, but we're only limiting it to residential heat pumps  
19 for our chart because that's the only sector we're showing  
20 the AAFS stock for. We can see here that in 2030 for the  
21 planning forecast we are adding about, I would say I think  
22 there's about 3.3 million heat pumps being installed by  
23 2030 from our AAFS scenario 3. And then there's an extra  
24 1.1 million electric resistance appliances being installed  
25 in that same year, for total about 4.4 electric appliances



1 total in 2030 being installed. We can see here that if  
2 we're looking at just our projected installations of key  
3 pump appliances from the AAFS scenario 4 from 2024 to 2030,  
4 in 2030, we do not appear right now to be in the path  
5 towards reaching that 6 million residential heat pump  
6 target.

7           And if we were to also add in, as you see on the  
8 text box to the left, the roughly 1.15 million residential  
9 and commercial heat pumps that we estimate to have  
10 currently been installed in California, which is based off  
11 of CEC analysis, we still only about shy of 5 million heat  
12 pumps. So still does not appear that we are on the path to  
13 the planning forecast to be reaching - do not appear to be  
14 on the path to - but are slowly approaching that 6 million  
15 heat pump goal. However, we also have to note that because  
16 we're not able to include commercial appliances, that is  
17 also affecting the amount of forecasted AAFS stock values  
18 we're going to be including. So that path could very well  
19 change to be reaching that 6 million heat pump target were  
20 we able to include the commercial sector installed heat  
21 pumps from our AAFS scenarios. Move on to the next slide.

22           I want to show the impacts of the local liability  
23 scenario. We're now in 2030 for AAFS scenario four, we're  
24 actually already just from the impacts of AAFS scenario 4  
25 installing almost 5 million heat pumps by 2030 now about an

1 extra 1.112 million electric resistance appliances by 2030  
2 as well leading to an overall total amount of about a  
3 little more than 6 million total electric appliances being  
4 installed by that year for AAFS scenario 4. But we're  
5 looking at just the heat pumps of 2030 and including our  
6 impacts that we have for the roughly 1.5 million  
7 residential and commercial heat pumps already installed in  
8 the state, we can see that we are actually getting to above  
9 6 million heat pumps being installed by 2030, which kind of  
10 shows that local reliability scenario does appear to be on  
11 the path towards reaching that 6 million heat pump target.

12           And I guess the final conclusion for these last  
13 two slides are just showing that for the local reliability  
14 scenario we're quite confident or we are confident that  
15 that scenario does appear to be on the correct path towards  
16 reaching the installation of 6 million heat pumps by 2030,  
17 but we're not as confident for the planning forecast that  
18 it'll be able to is on the path yet right now to be  
19 reaching that 2030 6 million heat pump goal.

20           But we also need to remember that without having  
21 the impacts of commercial heat pumps for our AAFS results,  
22 that path is not exactly the true one. That could change  
23 once we are able to incorporate the impact of added heat  
24 pumps for the commercial sector with our FSSAT tool. So  
25 with that move on to the next slide, which I think is just

1 the final slide. So I'll say thank you all to everyone and  
2 I think we're moving on to questions. So I'm going to pass  
3 on to Cynthia.

4 MS. RAITT: Thank you, Ethan. This is Heather.  
5 Ethan and Nick, and first we'll just ask Vice Chair Gunda  
6 if he had any questions for you.

7 VICE CHAIR GUNDA: Thank you, Heather. First I  
8 want to just say thank you Ingrid, Nick and Ethan. That's  
9 so much content there. I was just going through slide by  
10 slide over again. I know we had a lot of internal  
11 discussions and briefings, but just a large amount of  
12 content to digest. I have a couple of questions but I would  
13 like to - I don't see any Q and A in the public, so I'll  
14 try to set up a couple of questions and let's circle back.

15 So I think at the 30,000 foot level, I just want  
16 to go back to maybe start with Ingrid, if Ingrid's still  
17 here.

18 MS. NEUMANN: I'm here.

19 VICE CHAIR GUNDA: Okay, so Ingrid just can you  
20 just for the record, confirm that the pyramid of scenarios  
21 that you showed. AAEE and AAFS the 1 and 2, so that  
22 applies, but for AAEE and AAFS, and just making sure that  
23 you also explain that the 1 and 2 are primarily coming from  
24 the potential end goal study or anything else you want to  
25 add. I just want to make sure for the record we have that,

1 how are we constructing the first two scenarios?

2 MS. NEUMANN: Yeah, so the scenarios, just like  
3 in previous years, the 1 was the most conservative, right?  
4 So 1 and 2 are, well, okay, 1 we're not using for the  
5 forecast. Two we are using for the AAEE 2 for the local  
6 reliability but not for any fuel sub. Then 3 is our  
7 reference that we're using both for AAEE and AAFS for the  
8 statewide planning scenario. Four we're using AAFS 4 in  
9 conjunction with a AAEE 2 for the local planning. Then the  
10 most aggressive or optimistic AAEE and AAFS 5 and 6, the  
11 boulder blue and the violet are not being used for any  
12 forecast scenarios.

13 VICE CHAIR GUNDA: Yeah, so just making sure  
14 though on just the inputs that go into those 1 and 2. Could  
15 you just expand on that for the record? Yeah.

16 MS. NEUMANN: Oh. Yeah, so that's true. So  
17 predominantly what does go in there is a conservative  
18 scenario from the potential goal study for IOU programs.  
19 Our own conservative estimate of the POU programs, they  
20 only submit one scenario for us, and then we used - based  
21 on the differences in the CPUC'S potential goal study  
22 between their more conservative scenarios and their more  
23 aggressive scenarios by sector. We used those if they were  
24 9 percent lower or 5 percent higher or whatever it was, we  
25 used that to inform the sector based conservative view and

1 aggressive view of a POU program scenario. And we did that  
2 in 2021. We did that again in 2023.

3           So those are two big data streams there. And then  
4 pretty much the Title 24, 2022 building standards, those  
5 are there in a conservative view as far as how much  
6 implementation compliance and that sort of thing. But those  
7 are the core pieces that do go in to those more  
8 conservative scenarios.

9           VICE CHAIR GUNDA: Yes. Okay, thank you. So I  
10 just wanted to get that on the record because we don't  
11 discuss that today as much, but we know we discussed that  
12 in the assumptions workshops.

13           So in terms of the magnitude of efficiency and  
14 AAFS, do we have - so we mostly talk about that in energy  
15 and terms. So we're talking about gigawatt hours and terms,  
16 could you just give an indication of what the magnitude in  
17 terms of megawatts generally - go ahead.

18           MS. NEUMANN: Well, I mean, so those would be the  
19 hourly values, right? I mean or some peak ones. And so we  
20 haven't put those together yet,

21           VICE CHAIR GUNDA: But from previous years, what  
22 is typically the magnitude of the building? The - like the  
23 fuel substitution like for example last year on the outlet  
24 side.

25           MS. NEUMANN: Well, I mean it was a lot more than

1 it would be now. Yeah, I know. I don't have it right now.  
2 Sorry.

3 VICE CHAIR GUNDA: Sorry, sorry. I should not  
4 have put you on the spot like that. I think where I'm going  
5 with the question is just what do you expect in terms of  
6 the megawatts change in the fuel substitution is where I'm  
7 going. Like when we talk about reasonableness to how do we  
8 want to plan for it, what levels of megawatt impacts are we  
9 generally thinking about in directionally?

10 MS. NEUMANN: So I mean for the programmatic  
11 pieces that's smaller, right? For the totals, I don't think  
12 the totals changed as much with the SIP implementation  
13 accounted for. Those would look very similar to what we saw  
14 in 2022 for the local reliability scenario.

15 MR. COOPER: I think I can speak to that one. I  
16 think that's -

17 MS. NEUMANN: I was hoping that you might have  
18 that number.

19 MR. COOPER: I think Nick mentioned - I think  
20 during his presentation that it was about 3000 ish megawatt  
21 increase from the zero emission plan standard in the local  
22 liability scenario in 2035. And that I think was the  
23 megawatt difference between planning forecast and local  
24 liability scenario. But most of that difference was from  
25 the inclusion of the zero emission appliance standard in

1 the local reliability scenario. So it was quite a big jump  
2 up, particularly because we were including the zero  
3 emission appliance standard in the local scenario while we  
4 weren't in the planning forecast. So it might be similar  
5 for both the planning forecast and local reliability  
6 scenario this year in terms of the zero appliance standards  
7 impact.

8 VICE CHAIR GUNDA: Got it.

9 So Ethan, I think this is more a comment. Just  
10 first of all, just in the same spirit of this morning, the  
11 amount of work that's going into this is just tremendous. I  
12 mean I kind see the evolution of our building work. I  
13 remember when Nick joined the team and Ingrid joined the  
14 team and where we were to where are today in terms of  
15 continuing to change the rigor and how we think about all  
16 these policy issues is just really fabulous to watch. So  
17 I'm just now I'm thinking through next year we're going to  
18 puts hundred report and a significant part of our SB 100  
19 work is going to be the demand scenarios and there is this  
20 blurring of demand forecast, demand scenarios. And what are  
21 those handoff points? I'm just trying to figure out when we  
22 talk about the penetration, the total addressable market in  
23 a highly electrified future is probably more or less the  
24 same.

25 It's like a part of the question is every time we

1 change the assumptions, the s-curve or the penetration  
2 changes. And so where do you build those megawatts that are  
3 required to keep the system reliable, continue to change?  
4 And I'm trying to just figure out how do we support the  
5 discussion of overall in 2045 timeframe, whether it's the  
6 2021 SB 100 report in the future report. We're thinking  
7 about a high electrification future.

8           So directionally we're going to get to the same  
9 spot, but at this point, given the regulations and the  
10 speed at which these regulations will come into compliance,  
11 that penetration shape will change and that shape will have  
12 a direct impact on sourcing the resources necessary for  
13 keeping the system reliable. So I think the more of a  
14 comment is I would really appreciate if the team can in the  
15 final adoption at a workshop or whenever we do that final  
16 results indicate those ideas would be really helpful just  
17 for the conversation around reliability and planning. Any  
18 questions on that? Are we generally tracking that point?

19           MR. COOPER: That makes sense, yeah.

20           VICE CHAIR GUNDA: Yeah, great. And I think I  
21 wanted to also just support Nick, the decision that you  
22 shaped on the planning scenario using the CARB's zero  
23 emission appliance regulation, I think really supportive of  
24 the argument you provided that is a more or less reasonable  
25 to occur. That's how you're thinking about this.



1           So I think a couple of comments on that. Given on  
2 one hand we are planning for reliability and making sure we  
3 quickly build as much as we can on the system side, but  
4 given the rate impact that it could have and how do we  
5 optimize that, really recommend bringing back to either an  
6 informational item at a Business Meeting or however when  
7 the CARB's regulations are already actually done and if  
8 there's a significant departure from this, having some way  
9 of updating those numbers in a mid basis. And finally, I  
10 think on the gas side, you also laid out for the gas system  
11 planning, looking at a more conservative approach. I feel  
12 like that's very prudent given the overarching transition  
13 on petroleum natural gas and electricity. There's so many  
14 uncertainties and keeping the system reliable at large to  
15 provide the confidence that we can get through this in a  
16 reliable fashion. Really important, really support that and  
17 look forward to hearing stakeholder inputs into it. We  
18 finalize the forecast. So I'm just generally really  
19 thrilled with all of your work. I could ask a million  
20 questions and Ingrid probably like you already asked that  
21 question before.

22           It's such a dense material to digest this, but  
23 really thrilled with all the work and look forward to  
24 having some offline conversations. And with that I'll pass  
25 it to Heather.

1 MS. RAITT: Great, thank you so much.

2 So it doesn't look like we have any questions,  
3 but I'll just go ahead -

4 VICE CHAIR GUNDA: And I think we might have a  
5 comment. We might have one Q&A.

6 MS. RAITT: Yeah, it's really just, yeah, it's a  
7 comment. Well, I'll go ahead and read it for us.

8 So in the newest 2023 IEPR cycle, we are  
9 providing four substation allocations to the CAISO for  
10 their transmission planning. These include the usual summer  
11 peak, but also three other snapshots across the year to  
12 provide better inputs to the CAISO for off peak  
13 assessments.

14 So anyway, thank you for that Mike. So not seeing  
15 any questions beyond that, I think Cynthia's off the hook.

16 And just thank you again, Ethan, Nick, and  
17 Ingrid. Those were really comprehensive presentations.  
18 Really appreciate all the work that went into them.

19 And so we'll move on to the next part and to hear  
20 about behind the meter distributed generation and storage.  
21 And we'll start off with Alex Longsdale. Go ahead Alex.

22 MR. LONDSALE: Thanks, Heather. Good afternoon,  
23 Vice Chair, Commissioner, Advisors, Stakeholders, members  
24 of the public. I'm excited to be here today alongside my  
25 colleague Mark Palmere, to present our 2023 distributed

1 generation forecast. Next slide.

2           The presentation is broken up into three key  
3 segments. First, I'll present our forecast framework for  
4 the 2023 forecast cycle. I'll then hand things over to my  
5 colleague, Mark Palmere to present our annual forecast  
6 results. Last but not least, I'll present updates to our  
7 non-residential and residential behind the meter hourly  
8 storage forecasts. Next slide.

9           And without further ado, I'll now present the  
10 forecast framework. Next slide

11           For 2023, our distributed generation forecast  
12 team has implemented new methods for determining historical  
13 behind the meter distributed generation capacity, resulting  
14 in slightly lower estimates of PV capacity and higher  
15 estimates for energy storage capacity. We've also  
16 implemented a new market adoption model, commonly known as  
17 dGen as well as a standalone storage model.

18           Last but not least, we've also updated our behind  
19 the meter energy storage charge and discharge profiles,  
20 which I will present later today. Along with our  
21 methodological changes, we've also updated key incentives  
22 and policies in our forecasting framework. Starting with  
23 the net billing tariff. The net billing tariff for NBT was  
24 adopted by CPUC in late 2022 as a replacement for NEM 2.0.  
25 This went into effect for interconnections beginning in

1 April of 2023.

2 In addition, we've also incorporated updates to  
3 the federal investment tax credit. The most recent  
4 extension is part of the Inflation Reduction Act for IRA  
5 and has now extended the tax credit through 2034. The tax  
6 credit provides a credit of up to 30 percent of  
7 installation costs for behind the meter distributed  
8 generation resources. Next slide

9 For our forecast, our team leverages four models  
10 to predict growth and distributed generation capacity  
11 resulting from retrofits and new construction. Previous CD  
12 forecast tools did not distinguish between standalone and  
13 paired adoption for retrofits. The following table  
14 highlights our current suite of forecast modeling tools.  
15 The first column identifies the distributed generation  
16 installation type, which includes retrofit and new  
17 construction. The second column includes the name of each  
18 forecast model. Columns three through five identify the  
19 types of distributed generation configurations that the  
20 model is capable of forecasting. DGen, the first modeling  
21 tool listed in this table, is a market adoption model  
22 capable of forecasting distributed generation retrofits for  
23 standalone solar PV and paired solar PV and energy storage  
24 systems. Standalone storage is not considered in dGen as  
25 this tool is intended to compare the economics of

1 installing solar PV and solar PV plus storage. CEC staff  
2 presented more details on this tool at the August 8th DAWG  
3 meeting alongside NRA and encouraged folks to review slides  
4 from this workshop.

5           The second tool listed here is simply referred to  
6 as our standalone storage model, predicts growth and  
7 adoption of standalone energy storage systems. It is a  
8 linear regression model which predicts adoption of  
9 standalone systems based on forecasted energy system costs.

10           Next we have forecast tools which were developed  
11 to account for the installation of distributed generation  
12 resources for new construction. Both models adhere to the  
13 2022 California California Energy efficiency standards. As  
14 shown in the table 2022 energy code only requires energy  
15 storage installations for the commercial sector. Thus for  
16 single family residential construction, we're not  
17 forecasting additional energy storage capacity. Next slide.

18           The following table lists the inclusion and  
19 exclusion of several renewable distributed generation  
20 programs in our current forecasting framework. Before  
21 discussing the table, I'd like to define terms from this  
22 table. When I'm referring to the economics forecasts, I  
23 mean that the program requirements and the economics  
24 related to adoption are factored into the forecast. And for  
25 compliance-based forecast, this adheres to Title 24

1 requirements and does not directly account for the  
2 program's requirements or economics associated with  
3 adoption. As shown in the table, the current forecast  
4 includes economics and compliance -based projections for  
5 the net billing tariff. The dGen model includes an  
6 economics based forecast for retrofit DG systems  
7 interconnected under NBT since it factors in the tariffs  
8 requirements, namely TOU rate participation and ACC export  
9 as well as ACC adder values into the forecast calculations  
10 for net present value and payback periods, both payback  
11 periods and net present value are important measures which  
12 affect behind the meter distributed generation capacity in  
13 our forecast.

14           Furthermore, it's assumed that single family  
15 homes adhere to Title 24 requirements and will interconnect  
16 under NBT. Thus the forecast includes the compliance based  
17 forecast the systems interconnected under this tariff. The  
18 next program listed in this table is virtual net energy  
19 metering or VNEM. VNEM does not include an economic space  
20 forecast of this tariff. And I'll explain more about that  
21 in the following slide. However, the Title 24 commercial  
22 forecast implicitly accounts for new construction  
23 considered multi-tenant spaces. Thus growth and distributed  
24 generation capacity interconnected under VNEM is indirectly  
25 captured in our forecast. Furthermore, dGen does not model

1 DG adoption under the NEMA or Net Energy Metering  
2 Aggregation tariff. More details regarding this exclusion  
3 are provided on the following slide. With that being said,  
4 new construction captured by our four space projections  
5 indirectly accounts for DG adoption under this program.  
6 Current and past new construction projections do not  
7 include specific breakouts for multimeter, multi-tenant and  
8 single meter single-tenant spaces. Staff understand that  
9 refinements and identification of these construction types  
10 are likely required based on the ongoing VNEM and NEMA  
11 proceedings. Next slide.

12 Excluded programs. So starting with VNEM, solar  
13 plus storage retrofits to existing buildings aren't  
14 forecasted due to owner tenant barriers for adoption. That  
15 is in the dGen model. We don't consider an owner purchasing  
16 a distributed generation resource where the benefits go to  
17 the tenants. We're unable to capture this type of  
18 relationship in our current adoption models. Moving to  
19 NEMA, adoption is not considered by our model framework due  
20 to the complexities associated with modeling a distributed  
21 generation resource intended to reduce electricity cuts  
22 costs dynamically from multiple meters. It's important to  
23 note that CPUC has released a proposed decision on August  
24 2, 2023 to revise VNEM and NEMA programs.

25 Moving to community solar. Forecasted adoption of

1 community solar is a challenge to include in the current  
2 forecast models. Current renewable energy subscription  
3 programs are under review by CPUC and may be replaced in  
4 the ongoing consolidated community solar proceeding. CEC  
5 staff will consider ways to include renewable energy  
6 subscription programs in our future forecast based on the  
7 outcomes of the consolidated community solar proceeding.

8           Last, but not least, we have the renewable energy  
9 self generation bill credit transfer or RES-BCT. CEC  
10 forecast tools aren't configured to forecast adoption of  
11 distributed generation where the bill credits are shared  
12 across multiple billing accounts. This program also has a  
13 statewide capacity limit of 250 megawatts and closes  
14 thereafter. Thus, there's limited growth in this program,  
15 but we'll continue to monitor it and include the  
16 interconnected systems in our historical capacity data.  
17 This concludes my overview of our forecast framework.

18           Mark Palmere, our lead forecaster, will now  
19 present annual forecast results. Thank you.

20           MR. PALMERE: Thanks, Alex. Good afternoon,  
21 everyone. My name is Mark Palmere, and I'm the lead  
22 forecaster. As part of the overall forecast.

23           I'll be talking about the updates made to the  
24 annual forecast inputs as well as going over some high  
25 level results. Slide, please.



1           One key input we updated is installation cost. To  
2 estimate the cost of solar, staff used CPUC's adoption of  
3 \$3.30 per watt as the current cost of installing a  
4 residential solar system in California in the year 2023.  
5 Staff then used NRELs annual technology baseline data to  
6 model the rate of change in costs throughout the forecast.  
7 The ATB was also used to calculate the discount rate of  
8 commercial installation costs. For 2023, our value there is  
9 \$2.15 per lot. And as you can see, this is forecast  
10 throughout the entire period of our forecast. And by 2040  
11 the last year of the forecast it decreases to \$1.65 per  
12 watt for residential and \$1.22 for commercial. Slide,  
13 please.

14           We have also updated the electricity rates used  
15 in our forecast. The base year rates are reflective of that  
16 year's electricity rates. In this case, our base year's  
17 2022. TOU rates escalate in accordance with the 2023  
18 electricity rate forecast. The graph to the right shows a  
19 sample rate escalation used in our model, in this case  
20 SCE's rates throughout the forecast period. And also note  
21 that the model's payback and net present value calculations  
22 do also take into account the updated NBT decision. Slide  
23 please.

24           And these give us monthly savings calculated by  
25 our model that line up with the electricity rates. As an

1 example, here is a sample hourly electricity rate forecast.  
2 In this case SCE's TOU-D-4-9 residential rate from the  
3 months of October to May. Showed in three years our base  
4 year of 2022, 2030, and 2040, which is the last year of the  
5 forecast. And you can see how the rates increased over the  
6 forecast period. And meanwhile, the graph on the right  
7 shows the average first year monthly bill savings, which is  
8 calculated by our model as an intermediate output that  
9 helps determine adoption. And basically as a result of  
10 these increase rates, the average monthly savings also  
11 increases dramatically from 2022. Well it starts in 2024,  
12 but from 2022 through 2040. Slide please.

13 Another update we made was to the average size of  
14 residential Title 24 installations. Staff acquired permit  
15 data from the Energy Commission standards compliance -  
16 standards compliance branch to estimate average residential  
17 PV compliance installation size for new homes by forecast  
18 zone. These sizes were higher than previously estimated  
19 leading to increased compliance-based solar PV capacity in  
20 the residential forecast. Slide please.

21 Now I would like to go over the annual results.  
22 Slide please.

23 First PV, our forecast shows steady adoption rate  
24 until the mid 2030s. Capacity additions level off after  
25 2034, as you can see. And that's due to the elimination of

1 the Investment Tax Credit incentive or ITC. Slide please.

2           These results are greatly influenced by the input  
3 updates I previously mentioned. Updating the forecast cost  
4 installation as well as electricity rates affected the  
5 payback period calculation, which is another immediate  
6 output of our forecast. Due to lower costs and higher  
7 rates, the payback is forecast to decrease until the ITC is  
8 phased out in the mid 2030s, at which point it jumps up for  
9 a little bit before beginning to decrease again. Slide  
10 please.

11           Looking more specifically at solar installations,  
12 we see that the majority of installed solar is forecast to  
13 be retrofits of existing buildings until the ITC incentive  
14 expires. This is because Title 24 new home installations  
15 are based on compliance, therefore, they do not level off  
16 with the expiration of the credit as the retrofits do.  
17 However, looking overall throughout the entire forecast to  
18 70 percent of added capacity added PV capacity comes from  
19 retrofits. Slide please.

20           Now let's look at the breakout by planning area.  
21 The majority of PV capacity is in IOU territory, mainly  
22 reflecting a similar majority of customers in that  
23 territory. Ninety-two percent of cumulative capacity  
24 through 2022 is in IOU territory. And it is forecast to  
25 decrease slightly by the end of the forecast, but still be

1 about 88 percent by utility throughout the forecast PG&E's  
2 total capacity is forecast to jump from 6.8 gigawatts to  
3 14.7, SCE's from 4.5 gigawatts to 12.8, SDG&E 1.8 to 3.5,  
4 LADWP 0.5 to 2.1, SMUD 0.3 to 1.0 and all others - the  
5 aggregation of all the other utilities from 0.3 gigawatts  
6 to 1.2 in 2040. Slide please.

7 Another informative breakdown is solar by  
8 pairing. The payback periods in our model tend to be lower  
9 for solar systems that are paired with a battery and it is  
10 seen as an important tool in reducing electricity sales.  
11 Reductions in installation costs of energy storage coupled  
12 with rising electricity rates results in an increased share  
13 of paired DG adoption through 2032. However, the share of  
14 standalone solar PV increases in later years due to the ITC  
15 expiration, which in our model affects storage more than it  
16 affects solar. Slide please.

17 And that brings us to overall storage results,  
18 which similar to PV increase at a steady rate until the  
19 elimination of ITC in 2034. The adoption is actually  
20 greater than PV as changes to excess solar compensation in  
21 addition to the cost and rate factors mentioned in the  
22 previous slide, all incentivized storage adoption. In fact,  
23 the average annual growth rate throughout the forecast is  
24 about 30 percent for storage compared to about 14 percent  
25 for solar. Slide please.

1           While standalone systems make up the majority of  
2 PV capacity, standalone storage is relatively rare. Over  
3 two-thirds of currently installed storage capacity is  
4 paired with PV systems and that number is forecast to be 83  
5 percent in 2040. However, there still is growth in the  
6 standalone sector as it is now also eligible for the ITC  
7 resulting in increased adoption rates also until 2034.

8 Slide please.

9           And finally, I'd like to share storage results by  
10 planning area. As with PV, the majority of capacity is in  
11 IOU territory. So for storage it's actually an even wider  
12 gap as our base year numbers indicate 95 percent of  
13 installed storage capacity being in IOU territory. That is  
14 forecasted drop to about 90 percent by 2040, but it is  
15 still a strong majority. And this concludes our summary of  
16 the annual forecast. I'll now toss it back to Alex Lonsdale  
17 for a breakdown of hourly storage results. Alex.

18           MR. LONDSALE: Thanks for your presentation,  
19 Mark.

20           As indicated, the following slides will cover  
21 updates to our hourly non-residential behind the meter  
22 storage profiles for the 2023 forecast. Next slide.

23           For the 2023 forecast cycle, our overarching  
24 methodology remains unchanged from previous demand  
25 forecasts. For 2023, our behind the meter non-residential

1 storage profiles are from CPUC's upcoming self-generation  
2 incentive program, or SGIP, energy storage impact  
3 evaluation.

4 Our methodology is as follows. First, we develop  
5 our annual behind the meter distributed generation capacity  
6 forecast. We then map this capacity forecast to SGIP  
7 evaluation building types. We then apply normalized SGIP  
8 profiles to our capacity forecast, and then aggregate the  
9 spatial temporal resolution to match the forms that we post  
10 as part of the IEPR. Our decision to use these profiles in  
11 our forecast is primarily based on data availability as  
12 well as the SGIP data sample size relative to total  
13 interconnected systems in California. In the following  
14 table, you'll net two storage configurations paired with  
15 solar PV and standalone.

16 And the second column is an estimate of number of  
17 non-residential behind the meter storage systems by end of  
18 calendar year 2022. In the third column we have the average  
19 SGIP evaluation data project sample size. You'll note that  
20 the SGIP data sample size is about a third of all the  
21 interconnected systems estimated from interconnection data.  
22 Please note that the count of systems is not representative  
23 of the distribution of capacity by configuration.  
24 Standalone storage makes up about 70 percent of total  
25 behind the meter non-residential system capacity in 2022.

1 Next slide.

2           Methodology refinement. So while our overarching  
3 methodology hasn't changed, CEC's new distributed  
4 generation capacity forecast tools distinguish between  
5 standalone impaired behind the meter storage adoption and  
6 capture this distinction in hourly profiles more precisely.  
7 Please note for hourly charts in this presentation,  
8 positive megawatts indicates energy storage discharge  
9 negative megawatt values indicate charge. The hour index is  
10 always hour ending Pacific Standard Time.

11           The chart on the left shows a typical July  
12 weekday storage profile in calendar years 2023 and 2026.  
13 There are three lines in this chart. The dark blue line is  
14 a total load profile. Standard blue dashed line is the  
15 paired storage profile and the light blue line is the  
16 standalone storage profile. The key takeaway here is that  
17 the aggregate CAISO profile changes through time as a share  
18 of standalone impaired storage capacity changes. As shown  
19 on the chart on the right, you'll note by 2026, the share  
20 of paired storage capacity has increased relative to 2023.  
21 This result is an aggregate profile with on peak discharge  
22 behavior, which more closely aligns with paired system  
23 profile, resulting in a less percentage of energy charging  
24 overnight. Next slide.

25           The following chart compares the 2022 and 2023

1 non-residential behind the meter storage profiles for  
2 typical weekdays in July and December in calendar year  
3 2035. The first chart for typical July weekdays shows how  
4 increased paired storage adoption results in more midday  
5 energy charging, whereas the 2022 forecast did not  
6 explicitly capture growth and adoption of paired or  
7 standalone systems. Thus, the profile shape is the same as  
8 calendar year 2022, and assumes most energy is still  
9 charged overnight. The chart on the right compares December  
10 2035 average hourly profiles. For the 2023 forecast, you'll  
11 note that the total energy discharge during the on peak  
12 hours is lower compared to July and is of a more fixed rate  
13 through the traditional on peak hours. Growth impaired  
14 storage system adoption by 2035 results in an increased  
15 share of energy storage charging when solar generation is  
16 available. The reduction in total energy charged overnight  
17 from hour ending 21 to six from CED 2022, CED 2023 as  
18 follows. For July weekdays, the reduction in energy assumed  
19 to be charged overnight is 57 percent, and for December  
20 weekdays is 51 percent. This speaks to the refreshment of  
21 updated self-generation incentive program data, capturing  
22 most recent charging and discharging behavior amongst a  
23 larger pool of energy resources interconnected to the grid.  
24 Next slide.

25 VICE CHAIR GUNDA: Hey Alex?



1 MR. LONDSALE: Yeah.

2 VICE CHAIR GUNDA: Hey, just a quick question on  
3 this one. Sorry, didn't mean to interrupt. Basically y-axis  
4 here going from negative 400 to 300, what is that magnitude  
5 from the previous slide? I'm just think what is it  
6 indicative of or is it just a directional number?

7 MR. LONDSALE: Sorry, I'm not sure I'm following  
8 your question. These values are based on discharge rates  
9 for measured systems. So the typical discharge per rate of  
10 capacity -

11 VICE CHAIR GUNDA: It's just - Okay, it's the  
12 pool of the data that you had. Is that what it is?

13 MR. LONDSALE: Correct.

14 VICE CHAIR GUNDA: Okay. Okay, thank you. So it's  
15 not kind of scaled to the forecast results, it's just  
16 basically -

17 MR. LONDSALE: This is -

18 VICE CHAIR GUNDA: Looking at -

19 MR. LONDSALE: No, this chart here is scaled to  
20 the forecast capacity. So we have our normalized profiles  
21 on a base tier where you have your normalized rate of  
22 charge or discharge as a percentage. So some megawatt  
23 measured system from the SGIP incentive program has a  
24 megawatts discharge or charge value in a specific hour and  
25 its rated capacity. And all that data is brought together

1 and develop average normalized profiles from all the pools  
2 of resources from the SGIP data. We then use those  
3 normalized discharge rates of charging and energy  
4 discharging and scale them to our forecast capacity. Does  
5 that make sense?

6 VICE CHAIR GUNDA: Yes, but I'm not completely  
7 tracking in the sense that if we go back to slide 21.  
8 Right. So that's kind of the totality. So if I'm  
9 understanding this right, we are in the 6,500 megawatts of  
10 cumulative capacity and this is in the 400 range. Can you  
11 explain that?

12 MR. LONDSALE: Absolutely. Yep. Absolutely. So  
13 average discharge rates are relatively low right now in  
14 terms of the data that we've seen for non-residential  
15 systems. So keep in mind the chart you're looking at right  
16 now, that is total statewide capacity, not by residential  
17 and non-residential. A bulk of the capacity in our forecast  
18 is actually in the residential sector. So you'll see in the  
19 following slides that I'm going to present when I  
20 transition to residential storage. You'll see that the  
21 energy charge and discharge values are higher in the  
22 forecast period because there is more storage adoption,  
23 like the percentage of all capacity is weighted towards the  
24 residential sector instead of the non-residential space in  
25 our forecast.

1           So you have to break this down to say maybe 30  
2 percent of this capacity is applicable to the non-  
3 residential space. Then you have to break that out to, this  
4 is statewide results. We're looking at only IOU planning  
5 areas for an hourly forecast. So then decrement that  
6 another couple percentage points, and then you're looking  
7 at discharge rates on average that fall between and on peak  
8 hours, maybe 15 to 20 percent at most. So there's several  
9 factors we have to scale these numbers down to really come  
10 to what is the hourly value of energy charge or discharge.

11           VICE CHAIR GUNDA: Excellent. Thank you so much.  
12 Thanks for the clarification.

13           MR. LONDSALE: Yeah, I totally understand why  
14 you're asking that question from the charts and could have  
15 made that a little more clear. So appreciate your question.

16           Picking up where we left off with the CAISO  
17 September peak impacts. So revised capacity protections  
18 accompanied with refresh profiles results in greater  
19 systemwide peak productions, increased storage discharge  
20 during hour 19 in 2035 is approximately 58 megawatts and is  
21 indicated by the markers here in this chart. Next slide.

22           That concludes my overview of the non-residential  
23 behind the meter storage profiles. I'll now present updates  
24 to our residential behind the meter storage profiles.

25           For the 2023 forecast, again, our overarching

1 methodology is the same. So staff used NREL's System  
2 Advisor Model to develop behind the meter residential  
3 storage profiles. SAM simulations are configured for a  
4 prototypical single-family home with behind the meter solar  
5 PV and storage. Several SAM parameters are modified to  
6 produce hourly profiles for the CED forecast. Solar PV and  
7 storage system size were selected based on CEC analysis of  
8 utility interconnection data. Single family home and annual  
9 electricity consumptions estimated from our revamped  
10 residential sector end use models. TOU rates were selected  
11 in accordance with the Net Billing Tariff. Hourly dispatch  
12 strategies are configured based on the assumption that  
13 systems dispatch during evening hours. Next slide.

14           Before I present our updated profiles, there are  
15 also other key assumptions that we need to mention. So past  
16 CED forecasts consider time of use arbitrage explicitly  
17 during the on peak hours. It's important to note that when  
18 scaling these assumptions to planning area projections,  
19 this resulted in large hour to hour changes in load, shown  
20 on the following slide. While it's assumed most energy  
21 storage discharge occurs during the on peak period SGIP  
22 impact evaluations suggests some discharge may be occurring  
23 outside of these hours. Furthermore, with the  
24 electrification of appliances and vehicles, it is probable  
25 that storage discharge will extend beyond traditional on

1 peak hours. In result, staff developed and presented  
2 several profile scenarios to stakeholders at our October  
3 DAWG meeting. The following slides compare the preferred  
4 scenario profile to CED 2022 profiles.

5           Next slide. Oh, there we go. So this chart  
6 compares normalized profiles. It's marked 2021 forecast,  
7 but these are also applicable to the 2022 forecast, and  
8 these normalized profiles are indicated by the gold lines  
9 in this chart. Please note the Y-axis values here are  
10 kilowatt hours per kilowatt hour rated capacity and applied  
11 to all of the energy capacity within a given track. The  
12 first segment of this charge, PG&E, followed by SCE and  
13 SDG&E. The 2022 profiles suggests residential storage  
14 behavior is different after hour 21 amongst the IOU  
15 planning areas. Most notably the SCE profile had assumed  
16 energy discharge drops off completely by hour 21, whereas  
17 the PG&E profile had assumed continued dispatch until  
18 midnight based on time of use prices. Moving away from TOU  
19 on peak dispatch to a more general evening dispatch  
20 strategy results in more consistent assumptions across the  
21 IOU tax and may be more reflective of system-wide behavior  
22 through time. Staff see the need to continue to inform  
23 refinements to behind the meter storage profiles as more  
24 data in the space becomes available. Next slide.

25           The following chart highlights forecasted

1 cumulative CAISO system-wide peak hour discharge for the  
2 2023 forecast compared to 2022. There's actually slight  
3 decrease in discharging hour 19 2035 when compared to last  
4 year's forecast. This is a result updating our discharge  
5 rate allowance in the SAM model as well as similar total  
6 cumulative capacities by 2035.

7           Next slide.

8           The following chart compares CED 2023 behind the  
9 meter storage profiles to a historical CAISO Limited Energy  
10 Storage or LESR profile in 2022. This is utility scale  
11 storage. CED profiles include residential and non-  
12 residential sectors. The forecasted behind the meter energy  
13 storage net discharging calendar year 2040 surpasses the  
14 historical averages from the 2022 limited energy resource  
15 profile data. It's important to note that motivations for  
16 behind the meter storage in the forecast are optimized  
17 around end user goals to minimize bill savings through a  
18 blend of TOU arbitrage and peak demand shaving. Whereas  
19 utility scale systems dispatch based upon grid needs. While  
20 there are differences in motivations for discharging  
21 storage, there appears to be some convergence in charge and  
22 discharge behavior across BTM and FTM systems. Simply put  
23 both FTM and BTM systems are charging during hours of solar  
24 resource availability, and discharging the most during on  
25 peak TOU hours. Staff look forward to learning more from

1 CPUC's upcoming SGIP evaluation prepared by Verdant. These  
2 reports typically highlight storage behavior during grid  
3 constrained hours and serve as a basis for learning how BTM  
4 storage could be better utilized in the future, both from a  
5 GHG and load perspective. BTM systems have a great  
6 potential as a flexible load modifier and our forecast team  
7 understands the need to continue to track the space closely  
8 and think through how behind the meter storage profiles may  
9 change time. Next slide.

10           Next, I just want to give a special thanks to  
11 CPUC for helping us in acquiring the SGIP data, Verdant  
12 Consultants for providing the SCE data ahead of the report  
13 release. And, of course, the Distributed Generation  
14 Forecast Team, Mark Palmere, our lead forecaster, Bobby  
15 Wilson, who's joined our team this year as an energy  
16 analyst and forecaster. And last, but not least, Sudhakar  
17 Konala, who used to be our lead forecaster has rejoined our  
18 team as a forecast advisor and we're happy to have him  
19 back. Next slide. And of course, thanks to all stakeholders  
20 for their continued collaboration at DAWG, thank you  
21 Commissioners, public attendees for your time and attention  
22 today. And that is my presentation.

23           VICE CHAIR GUNDA: Can I just jump in, Heather?

24           MS. RAITT: Oh, yeah. Please do.

25           VICE CHAIR GUNDA: Thank you, Alex and Mark. I

1 probably will sound like a broken record, but again just  
2 thank you, thank you, thank you. And how amazing of work  
3 you guys are doing in terms of just continuing to modify  
4 and improve the work. And thanks for acknowledging  
5 Sudhakar. It's really great to have him back on the team  
6 again. And also to Bobby thank you for your work.

7 I have a of very high level questions, comments,  
8 and kind of discussion. If we take a couple minutes here,  
9 Alex and Mark. I'm trying to look at this from a couple of  
10 different perspectives. So one is, I think Alex, you  
11 commented that towards the end, one element of it is just  
12 improving our forecasting to be able to provide the best  
13 available forecast to PUC and other LRAs for a grid  
14 planning perspective, right? So that's kind of an important  
15 element. So for the IRPs. The other element I'm looking  
16 through is what incremental opportunity do we have with  
17 behind the meter and DRD (phonetic) sources to support grid  
18 reliability, right?

19 So earlier this year when we adopted the load  
20 flexibility goal of 7,000 megawatts. We broadly framed that  
21 as three buckets. And I think I just want to frame that and  
22 then ask you a couple of questions to react. But we said  
23 about 3,000 megawatts of that 7,000 is going to come from  
24 load modifying. So it's primarily storage, it could be  
25 demand like DR whatever, it's like virtual power plants,



1 not virtual power plants, but in some programs. And then  
2 you go towards, okay, once you reduce the demand based on  
3 primarily redesign, you now go into planning for your  
4 resource procurement. And there are some virtual power  
5 plants and incremental programs that come after that. And  
6 then we said between the load modifying and RA, resource  
7 adequacy, we can think of roughly 3,000 megawatts and then  
8 4,000 of the megawatts were going to come for incremental  
9 even beyond that. So first question of clarity, how does  
10 the forecast treatment in terms of really articulating  
11 what's load modifying, what's RA, like virtual power plants  
12 and such in terms of those programs at PUC and other IRAs  
13 that are using behind the meter storage for a virtual power  
14 plant, for example, how do we avoid double counting? What  
15 is the current way of doing it? And how do we think about  
16 that?

17 MR. LONDSALE: So you're referring to, let me  
18 just make sure I understand the question correctly before I  
19 respond. So you're asking for how do we account for energy  
20 storage systems that are behind the meter, that are a part  
21 of virtual power plant and they have their own charge and  
22 discharge behavior. How do we distinguish that capacity  
23 from other behind the meter resources that may be  
24 strategizing around TOU arbitrage and peak demand shaving?  
25 Is that your question?

1 VICE CHAIR GUNDA: Yep. Yep, exactly. How are we?

2 MR. LONDSALE: Okay, so we don't currently have  
3 to be transparent. We don't currently have a way to, in our  
4 interconnection data, we overhauled estimating the behind  
5 the meter capacity, but we haven't had a way just yet to  
6 target exactly which interconnected systems would be  
7 virtual power plants, which ones would be enrolled in those  
8 sorts of systems. So that is not part of our behind the  
9 meter historical process. That's not something that's  
10 incorporated right now in terms of behind the meter, non-  
11 residential system. So if they're connected via a NEM  
12 interconnection agreement, if they're connected in any of  
13 those NEM buckets, then their capacity is factored into our  
14 hourly estimates of charge and discharge.

15 VICE CHAIR GUNDA: Got it. Thank you so much.

16 Mark, do you want to add anything? I saw you came  
17 off mute.

18 MR. PALMERE: Oh, nothing addition to what Alex  
19 said.

20 VICE CHAIR GUNDA: Thank you.

21 So, Alex, then I think just as a comment, as we  
22 continue to incorporate quantitatively some of the  
23 refinements, it would really appreciate clarify at some  
24 point in the near future here to really shed light on the  
25 intersection of the forecasting work. How does that support

1 this paradigm of 7,000 megawatts of load flexibility goal  
2 we have, right? So how can we think about this is what's  
3 load modifying element? This is what's virtual power plant  
4 maybe? I think it's very small right now. The virtual power  
5 plants, I think it's tens of megawatts right now. I think  
6 it's 30 or 40 in PUC, but I just want to make sure that we  
7 put a pin on estimating that.

8           And then second, I think just looking at the  
9 forecast, as Mark mentioned, the forecast magnitude hasn't  
10 significantly changed since the NEM 2.0 to NEM 3.0 and  
11 whatever. Also noted that there's a lot of mathematical  
12 changes that we had. Setting aside that the numbers, the  
13 total addressable market, right? If we think about a  
14 hundred percent roof space in California for all existing  
15 buildings. What is the - where are we plateauing based on  
16 our modeling right now? I think what I see is 30-40 percent  
17 maybe. I don't know if you can comment on that. And what do  
18 you think is stopping that? I mean I'm sure the answer,  
19 it's the payback period, but anything else that you could  
20 shed light on would be helpful.

21           MR. PALMERE: Yeah, for sure. Yeah, so we've been  
22 doing a little looking into that a little more and it looks  
23 like, yeah, our model, the maximum market share as they  
24 define it does as you say, have a lot to do with payback  
25 period. And so the numbers we're getting as when the

1    payback period is lowest in the forecast, the max market  
2    share is about 60 percent. So that's the as things are now,  
3    the limit that we're looking at. And yeah, as I said, a lot  
4    of it has to do with as the model is developed, that is the  
5    limiting factor where as the payback period gets lower, the  
6    maps, the potential goes up. But obviously in reality there  
7    are other limitations. I think a lot being that, and this  
8    is something we're working on modeling better, is the  
9    different types of home owner or home residences like  
10   rentals and multifamily buildings. Obviously there are more  
11   barriers or financial disincentives for adoption there  
12   compared to a single family owner occupied home. Yeah. So  
13   that's something we're trying to definitely working on  
14   better capturing. But other than that, so yeah, I think  
15   there's that as a inhibition and as you mentioned the  
16   payback period, those are the two that we're noticing. I  
17   don't know if Alex has anything to add.

18           MR. LONDSALE: I think Mark, I think you  
19   highlighted the larger buckets. I think that the owner-  
20   tenant relationship, a lot of people may rent their spaces  
21   or there's existing multifamily buildings right now and  
22   with the resource mostly benefiting all their tenants.  
23   There might be some barriers under a virtual NEM situation  
24   for retrofits where you're really not maybe going to tap  
25   into that market just because there's not a large enough

1 incentive for the owner to recuperate their investment  
2 because the benefits are going to the tenants occupying the  
3 space on their electricity bills. They are receiving the  
4 bill credits for the energy generated on top of that roof.  
5 So I think that's part of it. And I think, so renting  
6 spaces, right. We need to, I think a refinement we can look  
7 through is how many single family homes are also being  
8 rented out. They're purely for rental space because the  
9 motivations to install, in our model, the motivations to  
10 install a distributed generation resource, people want to  
11 see a payback on that resource.

12           They want to be their recuperating their  
13 investments. And I think with the owner-tenant  
14 relationship, that is a classical barrier to getting more  
15 PV on all the rooftops in California. I think there's  
16 another sliver of that bucket, and that is just not all  
17 homes are optimally built for solar PV. And I think this is  
18 a smaller bucket, but just addressing it, there are homes  
19 dispersed throughout California in different climate zones  
20 and there are different shading and different roof  
21 orientations that might not be optimal for solar PV. So I'm  
22 thinking about more like the mountain communities and  
23 things, and that is something that's factored into dGen.  
24 There is a whole report that talks about the technical  
25 potential based upon Lidar data and irradiance data of how

1 much irradiance can you get in this area? Is it economical  
2 to install solar on these roofs? I think in California a  
3 large part of roofs are well suited for solar PV, but I  
4 just wanted to mention that as a slim bucket where you're  
5 going to start to decrement the total available roof space  
6 a little bit from those sort of considerations.

7 VICE CHAIR GUNDA: Thank you, Mark and Alex.

8 Alex, just a follow up on that one then. So  
9 between the technical potential, just reiterating this  
10 between the technical potential in California behind the  
11 meter solar and also storage systems to what we  
12 economically cap at or hit the ceiling. And if I heard  
13 Mark, it's about 60 percent, then what part of that  
14 technical potential do we cap at, roughly.

15 MR. LONDSALE: Based on the current ceiling that  
16 we have in our model, that's correct. We're assuming based  
17 on, so there's studies and that was part of the DAWG  
18 meeting we talked about with NREs. There were surveys  
19 conducted based upon market payback periods for solar PV.  
20 And based on the survey data that we have and integrated  
21 into our modeling framework and our assumptions, given a  
22 payback period of approximately six years, you're going to  
23 saturate a market of 60 percent.

24 So I think another layer to this that we're  
25 talking about and about a six year payback period and

1 saturating the market is this complexity about who can  
2 afford to make the financial investment on the front end  
3 for these systems. So we're thinking not everyone is upper  
4 middle class or middle class - targeting those buckets of  
5 making sure that the right incentives are available for  
6 disadvantaged communities, lower income. So when we talk  
7 about the broad scale of just everyone installing solar, I  
8 think it's really important to consider income buckets as  
9 well. And we do have a version of the model that we're  
10 working on to consider and more target, let's think about  
11 adoption, but we need to make sure we're more stratifying  
12 these adoption buckets and technical potential based on  
13 financial ability to make the upfront investments on  
14 distributed generation resources to make sure that that is  
15 accurately reflected in our forecasts moving forward.

16 VICE CHAIR GUNDA: Great. Okay.

17 So one other theme here, just thinking through,  
18 so in 2020 when we had the reliability crisis in  
19 California, there's a couple of things we looked at. One is  
20 obviously we had supply constraints and the extreme heat,  
21 but we also had some monotonal conditions that decreased  
22 the overall production of generation from solar bulk solar  
23 very rapidly in the middle of the day.

24 So one of the questions that was raised was, what  
25 happens to behind the meter storage, right? And behind the

1 meter solar during that time as you - if you have a couple  
2 of cloudy days, monsoonal days that are coinciding with  
3 high heat, trapped heat. How do we think about that  
4 potential loss of generation? Again, I know that's not the  
5 forecasting and the planning piece, but it might be washed  
6 off in a one in two planning mode. But I really would like  
7 to put a pin in thinking about the potential volatility,  
8 volatility on the system that we might see because of  
9 behind the meter PV. And to some extent the storage might  
10 compensate for that - behind the meter storage, but I would  
11 really like us to continue to explore that team as a part  
12 of reliability work.

13 MR. LONDSALE: Definitely, and I don't want to  
14 say too much about that right now. I think that there's  
15 still scoping work, but I understand that there's a lot of  
16 stochastic modeling that we're working on and I think that  
17 some of the stochastic modeling approach about variability  
18 and generation throughout the week or throughout the month  
19 and thinking through variability and generation profiles  
20 for PV. Also we need to consider a lot of these systems in  
21 our forecast right now appear to be charging off of solar  
22 generation resources. So factoring that in as well. I think  
23 that there's a lot of analysis to be done in the space that  
24 you're describing.

25 VICE CHAIR GUNDA: Yeah, thank you.



1           So in closing, Alex, thanks to you and Mark and  
2 the team Bobby and Sudhakar. I do also want to recognize  
3 your slide 32 in a way you kind of talked about how the  
4 limited energy storage, but also that the behind of meter  
5 storage profiles kind are similarly charged and discharge  
6 while the magnitudes are different. And I think it's an  
7 interesting thing that whether you're coming from a grid  
8 side bidding perspective or the TOUs, the arbitraging of  
9 this resource is coming maybe hopefully to an end and would  
10 love to follow that chain of thought as well.

11           So overall incredible work, thank you and look  
12 forward to the stakeholder feedback on how to make this  
13 better. Thank you.

14           MR. LONDSALE: Thanks, Vice Chair.

15           MR. PALMERE: Thank you.

16           MS. RAITT: I'm not seeing any questions from  
17 Zoom or participants via Zoom.

18           So thank you Mark and Alex so much for those  
19 presentations. And so Commissioner, if you're okay, we'll I  
20 think we're ready to move on to public comment. Okay,  
21 comment.

22           So I see that there are two hands raised, so if  
23 anyone on Zoom would like to make comments, just use that  
24 raise hand feature to let us know that you want to comment.  
25 And if you're on the phone you can press star nine and that

1 will let us know that you want to comment. And so we'll  
2 reserve three minutes per person, just one person per  
3 organization place. And let's see.

4 So the first one is Yu Zhang from PG&E and so you  
5 may need to unmute on your end. Go ahead.

6 So I don't know if Yu Zhang unmuted, but we can  
7 come back to you and we'll move on to Brandon Serna. You  
8 want to go ahead and unmute?

9 MR. SERNA: Oh, apologies. I think I raised my  
10 hand by accident.

11 MS. RAITT: Okay, no worries. Let's see, if you  
12 had a question, I mean a comment. Excuse me, maybe that was  
13 an accident as well. Anyway, and if anyone else has  
14 comments to just raise your hand and if you're on the phone  
15 again, press star nine and they'll let us know. Otherwise  
16 we'll just give it another moment and we will close public  
17 comment.

18 Alright, not seeing any hands up. Vice Chair, I  
19 think it's back to you.

20 Oh, actually, let me, if I may, I'm sorry to  
21 interrupt. Just mention again that written comments are  
22 welcome and due on December 1st. And then we have, as the  
23 next slide shows, we have another workshop coming up on  
24 December 6th for the rest of the forecast results. And so  
25 hope you all can make it for that. And that will also be a

1 remote workshop.

2           And with that, if you had any closing remarks,  
3 Vice Chair.

4           VICE CHAIR GUNDA: No, that was a great day. I  
5 just love the kind of wonderful work that's happening.  
6 Heather, thank you to you and your entire team for  
7 facilitating and that IT team and support team. So yeah, I  
8 don't have any further comments.

9           Thanks to all, and thanks to the public for  
10 participating and look forward to future conversations on  
11 this. With that, happy to adjourn.

12           (ADJOURNED AT 3:37 p.m.)

13

14

15

16

17

18

19

20

21

22

23

24


25

## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 9th day of January, 2024.



ELISE HICKS, IAPRT CERT\*\*2176

## CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

January 10, 2024