

APPEARANCES

COMMISSIONERS

Janea Scott, Commissioner

STAFF

Jim McKinney, Program Manager

Charles Smith, Project Manager

ADVISORY COMMITTEE MEMBERS

Will Coleman, Onramp Capital

Robert Bienenfeld, CAFCP/Honda

Tim Carmichael, California Natural Gas Vehicle Coalition

Alberto Ayala, California Air Resources Board

Joe Gershen, California Biodiesel Alliance

John Butler, Alternative & Renewable Fuel Vehicle Technology

Randy Rosser, Fuel and Transportation Division

Carter Brown, Boulder Electric Vehicle

Simon Mui, National Resources Defense Council

ALSO PRESENT

Abas Goodarzi, US Hybrid

Brian Bliss, Boulder Electric Vehicle

Lloyd Dixon, RAND Corporation

Russell Sydney, Sustainable Transport Club

John Clements

Alex Keros, General Motors

APPEARANCES (CONT.)ALSO PRESENT (CONT.)

Alex Keros, General Motors

Matt Forrest, Mercedes-Benz

Matt Miyasato, SCAQMG

Bill Van Amburg, CALSTART

Peter Christensen, Air Resources Board

Marc Melajna, NREL

PRESENT ON WEBEX

Steve Kafka

Bonnie Holmes-Gen

Clark Williams

Frank Ziegler

Roger Hussen

Catherine Dunwoody

P R O C E E D I N G S

9:08 a.m.

PROCEEDINGS BEGIN AT 9:08 A.M.

(The meeting was called to order at 9:08 A.M.)

ARCADIA, CALIFORNIA, FRIDAY, FEBRUARY 21, 2014

MEETING BEGINS AT 9:08 A.M.

COMMISSIONER SCOTT: So we'll go ahead and get started. I just wanted to say welcome to everybody. Thank you so much for coming to Southern California if you weren't already here. Into the microphone? All right. I'll sit down. I have to hold it? Maybe we'll have to get instructions.

So I was just saying good morning and welcome to everyone. Thank you for coming to Southern California if you weren't already here. We look forward to doing this advisory board meeting. So what we need to do, I guess you have to hold the "Talk" when you speak on the microphone in front of you. We'll go around and we'll do some introductions. And then we'll let Jim McKinley kick us off.

So I am Commissioner Janea Scott at the California Energy Commission.

MR. MCKINNEY: So I'm Jim McKinney, Program Manager for the Alternative and Renewable Fuel Vehicle Technology Program.

1 MR. ROSSER: I'm Randy Rosser, Deputy Director of
2 the Fuels and Transportation Division.

3 MR. BROWN: Carter Brown, CEO of Boulder Electric
4 Vehicle. Can you hear me?

5 MR. MUI: Make sure the light is on.

6 MR. BROWN: Carter Brown, CEO of Boulder Electric
7 Vehicle.

8 MR. MUI: Good morning. Simon Mui, Natural
9 Resource Defense Council.

10 MR. COLEMAN: Will Coleman from Onramp Capital.

11 MR. BIENENFELD: Good morning. Robert Bienenfeld
12 with Honda, representing California Fuel Cell Partnerships.

13 MR. CARMICHAEL: Good morning. Tim Carmichael
14 with the California Natural Gas Vehicle Coalition.

15 MR. BUTLER: John Butler, Manager of the
16 Alternative and Renewable Fuel and Vehicle Technology
17 Program.

18 DR. AYALA: Good morning. Alberto Ayala with the
19 California Air Resources Board.

20 MR. SMITH: Charles Smith, California Energy
21 Commissioner, Project Manager for the Investment Plan
22 Update.

23 COMMISSIONER SCOTT: Okay. I'm trying to think
24 about how to introduce the folks in the audience with -- can
25 we -- do you mind coming up to the corner and speaking into

1 the mike just so folks can know who's around in the
2 audience, as well? So let's -- we can start --

3 MR. BROWN: Let me get out of the way here.

4 MR. GOODARZI: I'm Abas Goodarzi, President and
5 CEO of US Hybrid.

6 MS. DEMESA: Rennie DeMesa (phonetic). I'm with
7 Commissioner Scott's office at the Energy Commission.

8 MR. BLISS: Bryan Bliss With Boulder Electric
9 Vehicles.

10 MR. DIXON: Lloyd Dixon with RAND Corporation

11 MR. SYDNEY: Russell Sydney with the Sustainable
12 Transport Club.

13 MR. CLEMENTS: John Clements, retired Director of
14 Transportation from San Joaquin Valley and an electric
15 school bus advocate.

16 MR. KEROS: Alex Keros with General Motors.

17 MR. FORREST: Matt Forrest, Mercedes-Benz.

18 DR. MIYASATO: Matt Miyasato, South Coast Air
19 Quality Management District.

20 MR. VAN AMBURG: Bill Van Amburg from CALSTART.

21 COMMISSIONER SCOTT: Good morning, everyone.

22 Thank you again for joining us. And I'm going to turn it
23 over to Jim McKinney.

24 MR. MCKINNEY: Is this remote mike working? Can
25 you hear me? All right. I finally made it to the big

1 leagues. All right. Again, welcome, everybody. So I will,
2 I guess, walk you through the first part of the program this
3 morning.

4 So first I want to say thank you very much to the
5 representatives of University of California, Irvine, so Dr.
6 Samuelson, and then Will -- Will Decker who is manager of
7 the program development here for planning us in this
8 facility and helping us host our first meeting of the
9 Advisory Committee down here in Southern California. I just
10 want to tip my hat to Commissioner Scott for encouraging us
11 to remember that the state is bigger than the Sacramento
12 area. So it's -- it's really good to get out here and meet
13 the Southern California stakeholders on their turf.

14 Slide please. Let's see, do we have an agenda
15 slide? There we go. Thank you. Okay.

16 So briefly, for the agenda today, so I will do --
17 kind of the first part will be called program overview.
18 Charles Smith will then walk us through the funding
19 categories for this year's draft investment plan. Thank
20 you. That's good. Okay. We'll go through that. Then at
21 about 11 o'clock we hope to get to the public discussion and
22 Advisory Committee discussion of the Investment Plan itself.
23 Before that we'll go through it category by category, and we
24 will have both -- we'll start it out with Committee
25 discussion, WebEx-Committee discussion, and then public

1 member discussion here. And I think we'll have some -- some
2 input on some of these parts from different parts of our
3 Advisory Committee and the Air Resources Board. So we'll
4 continue that up to the lunch break at 12:30.

5 Just before 12:30 we've got Carter Brown and his
6 team from Boulder Electric. We have an electric truck out
7 in the parking lot. So there will be kind of a walk-around
8 with that. And maybe the commissioner will get to drive it.
9 She's -- she loves hot-footing it on these electric trucks.
10 So --

11 COMMISSIONER SCOTT: I do, actually.

12 MR. MCKINNEY: -- we'll see how -- how Carter
13 feels about that. But we want to get a photo opp on that.
14 And then lunch. And I've got a list of lunch spots around
15 here. We'll reconvene about 1:30, and then continue the
16 discussion.

17 Yes, sir?

18 MR. SMITH: They're saying that you're not coming
19 through on the WebEx. So you're probably going to have to
20 pull this --

21 MR. MCKINNEY: I have to go back to that one too?
22 Okay.

23 MR. SMITH: I'm afraid. I guess.

24 MR. MCKINNEY: Well, I've got three microphones
25 here. You know, I used to be in a band and we had three

1 mikes, but then I knew what they were all doing. Okay.

2 MR. SMITH: So let's turn this off.

3 MR. MCKINNEY: Do I still need this one? Okay.

4 All right. Okay. Is that good volume?

5 COMMISSIONER SCOTT: Uh-huh.

6 MR. MCKINNEY: Can you hear me? Okay.

7 Slide please. So the first part of this, I think
8 those of you who are veterans of our -- our advisory
9 committee meetings, we'll kind of walk you through the
10 highlights from what we've done since our last meeting in
11 November.

12 Slide please. I think most of you know, the
13 Alternative and Renewable Fuel and Vehicle Technology
14 Program was just reauthorized this past year. So we are
15 very thankful to the legislature for the trust that they
16 have put in our agency, in the Resources Board. As you
17 know, it's -- it's a shared program between our two
18 agencies. So our part of the program, we cycle about \$100
19 million a year, projecting that out until the end of 2023
20 when AB 8 will sunset. That will be if we get sufficient
21 revenue streams. That will total about 1.5 billion for
22 ARFVTP as run by the Energy Commission. Via Resources
23 Board, I think it will total about half a billion, and
24 that's not including the cap and trade funding and other
25 funding sources that may -- may work its way into their

1 programs.

2 So again, we're always very pleased to acknowledge
3 Dr. Ayala and his team with the Air Quality Improvement
4 Program. And then CVRP for the Light Duty Vehicle Vouchers,
5 and HVIP for the ZEV trucks and buses.

6 Slide please. Again, kind of a familiar slide
7 for -- for most of you. These are the policy drivers for
8 our program. So carbon reduction is really a primary one,
9 so about 30 percent reduction by 2020, 80 percent reduction
10 by 2050, Petroleum reduction, in-state biofuels production.
11 The Local Carbon Fuel Standard, so ten percent reduction by
12 2020. RFS2, I think that number is still good, 36 billion
13 gallons by 2022.

14 If you want to note that the Energy Commission and
15 the Air Resources Board executive directors signed a joint
16 letter recently to USEPA expressing concern with the
17 proposed lower volumetric requirements for biodiesel and
18 advanced biofuels. So we were pleased to get the State of
19 California on the record encouraging the state, of course.
20 We've got some great companies in California putting out
21 good product, and the federal revenue stream is critical.

22 Air quality, this is a big one for -- especially
23 down here in Southern California. To me this -- this
24 pending 80 percent reduction in NOx emissions from the
25 transportation sector is going to kind of continue driving

1 these conversions between low-carbon, zero-carbon, and then
2 zero-emission vehicles as we move ahead.

3 And then Governor Brown's mandate, so 1 million
4 vehicles by 2020, 1.5 million by 2025. Those of you who
5 have worked with the governor's staff on this knows that
6 they are all in -- on this part of the program, so the ZEV
7 mandate, and we're very pleased to have their -- their
8 support.

9 Next slide please. So here's the current summary
10 of our slide. So we are now at \$413 million locked into
11 contract, so we've got 264 grant agreements. You can see we
12 had, sadly, we had some withdrawals in the biofuel sector.
13 So we were forced to cancel our single -- one of our single
14 bigger grants ever with \$11 million for the High Mountain
15 Fuels project. That would have been a 3.6 million DGE
16 landfill biogas project. So we were -- we were sad to lose
17 that financing. It just did not come together. In my view
18 there's still a very strong need for biogas here in the
19 state, both to blend with natural gas trucks, and for
20 renewable hydrogen.

21 So the numbers are a little bit lower now in
22 biofuels. So it used to be about a third. Now it's about
23 28 percent of the program funding. Electric Drive is
24 increasing a little bit to 35 percent. Natural Gas is about
25 where it's been, but I'll talk more about that. Those

1 numbers are going to go up very quickly over the next few
2 years. Workforce development, we're now at 39. Awards, \$25
3 million, and this is just a critical part of our program,
4 although it doesn't always get the same visibility as the
5 technical projects. Market and program development, we
6 actually have two representatives here, though our guest
7 from NREL hasn't arrived yet. His flight was delayed. But
8 I'll introduce Dr. Lloyd Dixon a little bit later from the
9 RAND Corporation.

10 Slide please. So I won't go through this -- this
11 slide in a lot of detail because you're all good with
12 numbers and can read this. But this gives you more
13 information on how the program funding is allocated. So you
14 can see, for fuels production about half of that goes to
15 biomethane. Biodiesel, I think, is about a third. And the
16 ethanol projects are similar or less. Fueling
17 infrastructure, that's hydrogen and EVSE are the major
18 components of that, although natural gases continue to
19 increase.

20 The manufacturing label is a bit of a misnomer.
21 That's really all -- a lot of our investments in electric
22 drive components. So that can be batteries, controllers.
23 It can be entire drive trains. It can also be entire
24 assembly plants. So again, Carter Brown and his company,
25 Boulder Electric, are very good examples of that.

1 We've got seats in the front of the bus there, Joe
2 if you want to.

3 And then the others, so again, our workforce
4 development and the technical support contracts.

5 Slide please. As I'm going through here, please
6 feel free to ask any clarifying questions. But we want to
7 hold discussion for that part of the program.

8 To give you more information on a couple of key
9 subject areas for EVSE funding, this is Level 1, 2 and 3
10 chargers. We're coming up on \$27 million in contract, about
11 7,800 charge points. So you can see the split there.
12 Residential is about 3,800. Commercial, 3,000. Workplace,
13 743. The Fast Charger is about 77. The installation on
14 these is very good, in contrast to some of the other parts
15 of our program where people are still -- still working to
16 get steel on the ground. But I think we've got better than
17 a two-thirds installation rate on this. Fast Chargers are
18 more complicated to site. The construction installation
19 issues are a little more challenging, so we're just getting
20 started on those. But we do have 77 of those funded. And
21 then the Regional Readiness Planning Grants, which I think
22 are really adding value at the local and regional level, to
23 help coordinate how these should go in, what parts of a
24 local environment are best suited for the different types of
25 chargers' customers.

1 Slide please. Hydrogen Station Funding, so we
2 have \$27 million in awards, total awards thus far for 17
3 stations. With our recent \$6.7 million grant to South Coast
4 AQMD we think we'll get about five stations out of that.
5 And I think we're going to be able to announce that NOFA
6 pretty soon. We've got a lot of good proposals in on that
7 one. And again, I think those of you tracking the hydrogen
8 phase, another \$30 million is out on the street now. That
9 proposal deadline is Valentine's Day. Jean Verna (phonetic)
10 said that would be cute to do it on Valentine's Day. So
11 we're -- we're looking at 11 to 12 new stations for there.
12 So that's really -- that's going to push us out, you know,
13 towards \$75 million for hydrogen funding, which is -- that's
14 a lot of money. It's a really important investment by the
15 state to help get this sector going.

16 And the other things there, so our co-funding of
17 the bus station. The critical work by CDFA Division of
18 Weights and Measures, I believe they either will file very
19 shortly their regulatory package with OAL or they have
20 already done say. But that one-year clock will start very
21 soon. ARB staff are really working hard on that, as well.
22 It's a really good piece of the program that's coming
23 together very, very nicely. And then South Coast has a new
24 Regional Readiness Plan just focused on hydrogen, as well.

25 Slide please. For the biofuels sector, just a

1 little more information for you from those first couple of
2 slides. Fuel production, about \$93 million, 34 projects.
3 You can see how that's delineated. And then for fueling
4 infrastructure in this phase we've -- we've paused funding
5 for both of those sectors. So biodiesel tank storage, and
6 then 85 retail stations. So we'll have more -- more
7 developments on that, I think over the next few months.

8 Slide please. So I put this slide together really
9 to show people how important the truck sector is in
10 California. So I think you guys all -- or everybody here
11 knows the basic statistics. So, you know, 1 million trucks
12 out of 27 million total vehicles. It's about, you know, 3-
13 and-a-half percent of the vehicle population, about 16
14 percent of the fuel consumption, and then up to 25 percent
15 of the emissions, just from the truck sector. So the air
16 districts and the Air Resources Board, USEPA all have very
17 important regulatory goals and requirements and initiatives
18 in this sector. So we are putting our money to match that,
19 as well.

20 So in summary, we've done about 2,000 natural gas
21 or propane trucks. And I've got some good benefits
22 information on that for you coming up here. Natural gas
23 infrastructure, we're now up to 62 stations. And I don't
24 know off the top of my head what the breakout is for biogas,
25 I think it's six or seven.

1 John or Charles, if you guys could just waive your
2 hands if you have more information as I go through here.

3 And then the commercial ZEV trucks, so that's
4 the -- our co-funding of the EPI/UPS (phonetic) Electric
5 Truck Demonstration, the 100-truck demonstration project
6 that's getting very good reviews these days. And then we
7 have some really nice representatives for people developing
8 next-generation zero-emission vehicle trucks. So I'm really
9 glad to see CALSTART, to see Boulder Electric, to see US
10 Hybrids and others who I think are leading. It's really,
11 really an important part of the puzzle here to advance this
12 phase.

13 Slide please. I won't go through here line by
14 line, but you all have this in your -- your handouts. So
15 this is a detailed delineation, again, of the money by a
16 major category and subcategory for our investments to date.
17 So again, \$413 million, 264 projects.

18 Slide please.

19 MR. BIENENFELD: Excuse me, Jim?

20 MR. MCKINNEY: Do you have any questions on this
21 part of the presentation?

22 MR. BIENENFELD: Just a comment, if you could go
23 back a slide. As you went through all of these it would be
24 really helpful if you could also connect these activities to
25 the goals. I think a simple slide that would show, for

1 example, the goals as columns off the right, and which ones
2 apply, and maybe, you know, their main focus, but ancillary
3 benefits are here. But we have these goals, and then you
4 jump right into the activities. And I think connecting the
5 two would be helpful.

6 MR. MCKINNEY: That's a nice idea. We'll put that
7 on our to-do list. Okay.

8 So these are kind of the next categories that I'll
9 cover here.

10 Slide please. So then first will be recent awards
11 since the last advisory committee meeting. All Alternative
12 Fuel Readiness Plans, so another six awards, and these have
13 gone to the Redwood Coast Region, Monterey Bay, Santa
14 Barbara, San Diego Association of Governments, Davis, my
15 home town -- I didn't have anything to do with that -- and
16 the South Coast AQMD.

17 We also had two nice awards for Commercial Scale
18 Biofuel Production totaling \$99 million. Those awards to
19 Crimson Biodiesel in Bakersfield -- and Joe Gershen is here
20 today with them -- and that's great. That's an entirely
21 waste-based biodiesel product. Extremely low carbon
22 intensity value; I think it's about 12 to 13 grams per
23 megajoule. A very, very nice project. Community Fuels in
24 Stockton, which is another one of our award to biodiesel
25 industry producers. They're going to mix waste-based

1 feedstocks into that, and then they'll have a mix of 50
2 percent first-generation soy and the waste-based portion --
3 or quotient. So we're very happy to see them making the
4 transition to waste-based feedstocks for that.

5 Slide please. So in terms of Active
6 Solicitations, these are ones that are open right now. So
7 you're free to try to talk to us, but we're going to put our
8 hands over our ears and mouths and not be able to talk back
9 to you on that. So I think as you all know, we have our
10 blackout period of no- communication period for open -- open
11 solicitations.

12 So EVSE, \$6 million is -- is available. This one
13 is closed. We got a lot of proposals in. And then John
14 Butler and his team are managing the review and scoring of
15 those proposals.

16 Federal Cost Share for Emerging Technologies, this
17 is the first time that we've done this category with a
18 solicitation. I think we got six to eight proposals that
19 came in, about \$2.2 million. So that is also in the -- in
20 the scoring process.

21 Slide please. Solicitations that are open, so the
22 Alternative Fuel Readiness Plans, another batch. That's the
23 one that I read from previously, but there's still money
24 remaining in that.

25 Hydrogen Fueling Infrastructure, so nearly \$30

1 million. And a really important, I think, addition to our
2 solicitation is the O and M funding. So that will be for --
3 it will be open to companies with operational stations. And
4 that will help cover kind of the revenue shortfall until the
5 vehicle traffic picks up and the sales of the fuel picks up,
6 as well. So again, those are due this Friday.

7 Slide please. Another biofuel solicitation, \$24
8 million. We just had the -- what we call the Bidders
9 Workshop on that last week. A lot of good input from
10 stakeholders, very good turnout. So we're looking forward
11 to another good batch of projects for that solicitation. As
12 you can see, \$9 million for biodiesel or diesel substitutes,
13 \$9 million for ethanols or gasoline substitutes, \$6 million
14 for biogas production. So it will be a \$5 million cap for
15 commercial plans, \$3 million cap for -- for demos. And
16 we'll have a future solicitation for the feasibility study
17 scale projects.

18 Slide please. Natural Gas Vehicle Incentives.
19 Andre Freeman is our project manager for this. So we have
20 \$10.8 million out on the street right now. We've got
21 reduced funding categories. Again, as this -- this sector
22 matures -- and this is really, really one of the big success
23 stories for alternative fuels and vehicles in California.
24 So as that market picks up, as more fleets understand the
25 fuel savings that are -- that are available to them, we

1 thought it prudent to begin kind of ratcheting down the
2 benefit levels of incentive levels on this.

3 Slide please.

4 COMMISSIONER SCOTT: So we have now put up on our
5 web page the upcoming solicitations. This is something that
6 I heard many of you mention at our last Advisory Board
7 meeting or have flagged for me offline that it would be
8 helpful to have this kind of thing. So this is right at the
9 top of our -- our solicitations' page. So it used to just
10 have the list of solicitations. Now we've included this
11 chart at the top. And so whenever you go there and click
12 you'll be able to see what's open right now, and also what's
13 coming. And we're going out about a quarter, so we'll
14 keep -- we'll continue to kind of update this so that folks
15 have an opportunity to see what's coming and when.

16 So we just wanted to let you know that that's
17 there. Thank you for that great feedback. We heard you and
18 put that up on our web page for you.

19 And then if you'll go to the next slide please,
20 this is our project map. We highlighted this at the last
21 meeting, as well. But one of the things that we're working
22 to do is -- is think about how can we communicate about the
23 program better and in more compelling ways, because it's a
24 terrific program. And so getting the word out there we
25 think is really important.

1 This map, if you go to the Energy Commission web
2 page, and then there's the tabs up at the top, and you click
3 on Transportation, and then there's a Drive web page. And
4 if you click on the Drive web page you'll be able to see
5 this map. And we showed it to you with more -- it wasn't
6 just a slide. We actually pulled it up last time. What it
7 does is it's got all of the -- all of the projects that
8 we've funded. It's got a little circle that tells you
9 whether -- whether it's a biofuels, whether it's an electric
10 vehicle, whether -- what type of project it is. And it
11 gives you just a little bit of data about it. You can click
12 on it and then go to a more detailed description.

13 We are working to add functionality to this map,
14 which you will see coming soon. And so this right now
15 has -- you can kind of see the cities. But what we'd like
16 to do is overlay old legislative districts, new legislative
17 districts, the Air Quality Management Districts, and a few
18 other layers so that you'll be able to kind of see where the
19 projects fall and different -- throughout different filters
20 in the state. So we're working on that. I just wanted to
21 make sure that you all knew that it was up there. The one
22 thing it doesn't have is every single one of the 7,000
23 charging stations. This is not meant to be a charging
24 station map, but just to give folks a sense -- also, it
25 would kind of drown out the map. But other than that it's

1 pretty much got every project that we have up there.

2 So if you have ideas about waste that we can
3 continue to communicate about the program better, please let
4 us know. That's something that we're looking at very
5 seriously.

6 The other thing that I have, my executive fellow
7 who is here is helping me put together stories about some of
8 the projects. And so what we're really trying to do is make
9 sure we've got a great photo, a great story, and we can put
10 it up on the web page, too, in just a really visual way so
11 that folks can kind of click through and see, actually see
12 some of the neat projects that we're working on. And I'm
13 sure every one of you around this table has a great project
14 that you'd love to see us do. So please stay in contact
15 with me and with Lauren Greenwood on that.

16 So that's that.

17 MR. MCKINNEY: Thank you, Commissioner.

18 Okay. Slide Please. Actually, before I speak to
19 this, because I know Dr. Melajna, his flight was delayed out
20 of -- out of Denver. So hopefully he'll be able to make it.

21 But I also -- we have three large technical
22 support contracts, one with NREL, one with the RAND
23 Corporation, one with UC Davis Institute for Transportation
24 Studies. And I want to acknowledge Dr. Lloyd Dixon, if
25 you'd stand and raise your hand, with the RAND Corporation.

1 And he's doing -- his team is doing some really, really
2 interesting program assessment work for us. And we're just
3 starting to get some initial deliverables on that. So
4 we'll -- we'll share more of that information with you as we
5 learn more. But he's been tracking our Advisory Committee
6 meetings more closely and has got some interesting insights
7 that we'll be able to share, hopefully over the next year.

8 So welcome, Lloyd.

9 Okay. Alberto?

10 DR. AYALA: I just wanted to add a comment to your
11 slide number five, if I may. I think the timing is correct.
12 Can you please go back to five?

13 I really appreciate -- this one -- I really
14 appreciate you putting in context why we're here today doing
15 what -- what we're doing. And thank you very much for the
16 way you -- you frame our actions today.

17 I just wanted to add a point, because you
18 mentioned that one of the key policy drivers is air quality.
19 And you appropriately pointed out the need to reduce NOx in
20 2023 by 80 percent. At this point we know that if we
21 consider the most recent Ambient Air Quality Standard for
22 NOx, which is more stringent than the 2023 target, it
23 basically means that this reduction is going to be a bit
24 more stringent. We're looking at about 90 percent reduction
25 in NOx to be able to get to where we need to be in 2032. So

1 I think it's important to recognize that everything that
2 we're doing today is very important, but things are going to
3 be getting harder for us before they start to get easier.
4 So I just wanted to add that point.

5 MR. MCKINNEY: Great. Thank you. That's an
6 important update to that -- that part of the policy drivers.
7 Okay.

8 The next series of slides -- I've just got a
9 couple of slides. So these are initial results from the
10 NREL analysis of what we call benefits of the program. So
11 these are projections out to the year 2025 for petroleum
12 reduction, carbon emission reduction. And then we also have
13 forthcoming data on criteria emissions and particulate
14 emissions.

15 So this series of slides was published in the
16 Integrated Energy Policy Report. This is the first time
17 we've shared them with the committee, so I want to take a
18 little time to walk you through it. But the commissioner
19 has advised me to not get lost in the weeds, in the numbers.
20 So I will try to keep it kind of more high level. It's
21 just -- it's fascinating stuff. I mean, I hope you think
22 it's fascinating. I think it's fascinating really to see
23 how these investments play out, and are they ways we thought
24 they would or did not think they would. So I'll be able to
25 share some of that with you today. And I'm sorry Dr.

1 Melajna isn't here yet.

2 So what you see here, there's two classes of
3 benefits that are illustrated. The first is called Expected
4 Benefits. So those are kind of direct calculations and
5 projections of everything that we find, whether it's a CNG
6 station, CVRP voucher, a natural gas truck an EV charger,
7 kind of going down that list of items that we saw earlier in
8 the slide deck. And these are a series of projections
9 through 2025.

10 And again, there's two classes. The first is
11 Expected Benefits. The second is called Market
12 Transformation benefits. For expected benefits you can see
13 on the left, again, the carbon reductions. So we're
14 projecting 1.2 million metric tons reduction by 2025. And I
15 think where it gets interesting is you look at the three
16 bars there. So the green bar is vehicles. The middle blue
17 bar is fueling infrastructure. And the lower one is fuel
18 production. So again, this is for carbon. So vehicles are
19 totaling about 30 percent of the total carbon reduction by
20 2025. And the big ones in there turned out to be natural
21 gas trucks account for about 17 percent of that benefit.

22 And the one that's really intriguing to me, and I
23 want to drill down on this more, is what we call
24 manufacturing, over 80 percent of the vehicle benefit. So
25 that's going to be, again, the new assembly plants that

1 we're funding, again, like Boulder -- Boulder Electric, EVI,
2 Motive Power up in the Bay Area, Right Speed (phonetic), and
3 then Tesla with our award for the crossover vehicle. So --
4 and there's the battery investments, again, the drive
5 trades. So I think this was really interesting.

6 And you can see that those -- those benefits are
7 going to kick in later. It's going to take awhile to again
8 build up the capacity and the sales of those vehicles. But
9 I think it dovetails nicely with what Dr. Ayala just
10 mentioned on the need for very low or zero-emission vehicles
11 as we go through this decade.

12 Next category --

13 MR. COLEMAN: Jim, just one question.

14 MR. MCKINNEY: Oh, sorry.

15 MR. COLEMAN: Is this benefits from existing
16 investments or is this the -- including the future?

17 MR. MCKINNEY: Thank you. Good. This is existing
18 benefits. I'm sorry, I didn't go over that part. Yeah,
19 these are investments through June 20th of 2013. That's the
20 data set. We had to draw a line someplace. That's where we
21 chose to draw it. And there's more information in the IPR.
22 There's a table following this slide that kind of lays out
23 the categories. And again, there will be -- talk a little
24 bit more about -- about our process.

25 So the -- the current IPR has kind of the first

1 cut in this analysis. And then Commissioner Scott will be
2 leading the next IPR update and she will kind of do more
3 public workshops and have more Staff reports available
4 through that process. And she's still putting together the
5 schedule with her team on what that will be. So that there
6 will be a lot more information. It's all public
7 information, obviously. But, yeah, we look forward to those
8 discussions.

9 COMMISSIONER SCOTT: I would highlight, though,
10 the importance of that point, Will, just because if you look
11 at this kind of through the lens of AB 8, right, which just
12 got passed and that we are going to be making through 2024,
13 you would, of course, expect it to continue going up in 2025
14 and further. So it's an important point that it's projects
15 from the beginning through June 30th of 2013.

16 MR. COLEMAN: And I assume there's a tone more
17 detail in terms of each of these categories and where it all
18 comes from; is that right?

19 MR. MCKINNEY: You bet. You bet.

20 Simon, do you have a question?

21 MR. MUI: Yeah, I was just going to ask a quick
22 one. The fueling infrastructure, what kind of is captured
23 in that fueling infrastructure investments in terms of GHG
24 reductions?

25 MR. MCKINNEY: Yeah. Thanks for queuing that up.

1 That's my next speaking point, though.

2 MR. MUI: Okay.

3 MR. MCKINNEY: So this accounts for about 38
4 percent of the carbon benefits. And again, the big -- the
5 big piece of this, it turns out to be natural gas, so about
6 two-thirds of the total benefit through infrastructure. So
7 I think there was about 40, 45 CNG stations that we had
8 contracted at that point and, again, 5 or 6 biogas stations.
9 So that was one that surprised me. So clearly potentially
10 high volume in there, as well. Electric chargers account
11 for about 12 percent. I think hydrogen was one percent.
12 And then the biodiesel infrastructure we have is about 16
13 percent. The biofuels category there, the red bar on the
14 bottom, 50 -- that's about 30 percent of the total
15 reduction. Fifty percent of that is from the biodiesel
16 class of projects. And then biogas and advanced ethanols
17 are about 25 percent each. So again, good, good interesting
18 stuff.

19 Alberto?

20 DR. AYALA: Actually, real quick, can you -- can
21 you expand on why the trend line for infrastructure and
22 production is flat versus the growth line in that you show
23 for vehicles there?

24 MR. MCKINNEY: Yeah. Good -- good question. So
25 the assumption here is that we will -- we will build these

1 and they will hit kind of a peak capacity at some point.
2 And for some of these that's earlier, so they kind of top
3 out at around 2020, 2019. And then there's -- there's
4 another set of kind of market growth that you'll see
5 captured in what we call market transformation benefits. So
6 the assumption here, say for a natural gas truck, that it
7 actually peaks about 2015, 2016 for a new truck. As it goes
8 through its drive life it becomes slightly less efficient
9 and it kind of has more mileage. And so those benefits
10 really do not expand much.

11 Charles, do you want to add to this?

12 CHAIR WINNER: Sure. So the other thing I would
13 say is that the reason -- part of the reason that the
14 infrastructure and production numbers level off and the
15 vehicles continues to climb is that that's sort of the
16 expectation of the manufacturing projects that we've funded,
17 which represent a large share of those expected benefits.
18 They -- they expect to ramp up over time, whereas the
19 infrastructure that we funded reaches a throughput capacity.

20 MR. MCKINNEY: So turning to petroleum reduction,
21 so 167 million gallons total projected by 2025. Vehicles
22 account for 28 percent of that. Infrastructure goes up to
23 50 percent. And biofuels about 25 percent.

24 So one thing to note here is that in terms of
25 petroleum reduction, again, natural gas, nearly 50 percent

1 of this category benefit as a driver for that. So
2 volumetrically we're displacing a lot of petroleum. But on
3 a carbon basis, because it's a more modest, you know, 28, 30
4 percent reduction in carbon, less. And it's kind of the
5 flip side for say biodiesel where we're kind of displacing
6 less petroleum. But because of the very low carbon
7 intensity for some of these new products we're getting a
8 better carbon benefit. So I think that's also an important
9 thing -- an important thing to keep in mind.

10 Also, on infrastructure, let's see, electric
11 chargers were about nine percent. E85 is projected to be
12 about 33 percent of that -- that blue part of the chart
13 there. And that's assuming that all 200-plus stations are
14 built out and fully used. Again, we had to go with the
15 assumptions we had, the state of affairs in June. It's not
16 clear that that market will evolve to reach that potential
17 unless something new happens in terms of pricing or lower
18 carbon fuels so it can pick up LCFS credits in there.
19 Something needs to change in the E85 market in California to
20 really -- to get the kind of volumes we need to see this
21 potential.

22 Slide please. I'm not going to speak to this
23 slide so much. I'll just let you use it as reference. But
24 here's a little more detail. And again, go to our IPR, it's
25 on our website, and you'll find these charts and many, many

1 more.

2 Slide.

3 I just have two more here, Commissioner.

4 So this one -- this one introduces what we call
5 the market transformation benefits. And what that means is
6 that, you know, so we fund a class of projects. And you can
7 see on the blue bar on the bottom, they're going to reach
8 some capacity, whether it's mileage, throughput, fuel
9 production at a bio refinery, that's going to cap at some
10 point. And that will stay -- stay static through the life,
11 the timeline of that project.

12 There's another effect called market
13 transformation which is kind of the synergistic effect that
14 I think we all think about in different ways, use different
15 terms to define it. But really, as people learn about the
16 benefits and say utility of these advanced technology
17 vehicles, alternative fuels, and they begin to grow in the
18 marketplace, this program and our sister program at the Air
19 Board and other programs run by the air districts, they had
20 this market driver, market expansion effect where it's going
21 to go beyond just that initial investment.

22 Government can not buy it's way to, you know, 80
23 percent reduction in carbon. We just don't have enough
24 money. The Air Board is already facing that challenge with
25 the CVRP program. So these markets begin to kick in. And

1 we can trace some of the benefit back to our initial
2 investments, but we can't claim all of it. That's not
3 analytically proper. So that's -- that's generally what
4 that category means. And this is a carbon chart again, so
5 carbon reduction. So you can see the market transformation
6 benefits add quite a bit. So a range of, you know, about
7 half a million metric tons to 2.2 million metric tons. And
8 that pushes the total up to about 3.3, 3.4, kind of the
9 total benefits, if you look at the high case, of 2030.

10 What that green bar is, it's called market growth.
11 Another way to think about it is this is NREL's estimate of
12 the trajectory for the 2050 vision for clean air. So you
13 can see it's quite a steep curve. I was actually surprised
14 to see that, you know, all things going well out through
15 2025, 2030, the high case here, these investments through
16 2013 could actually account for about a third of the carbon
17 reductions needed to stay on that trajectory, which is a
18 nice surprise, a nice surprise, and it's an important
19 finding. Again, lots and lots of caveats. So again, I
20 think that's good.

21 But if you go to the next slide it's -- you get
22 sober real quick. So that is the trajectory out through
23 2050. Again, the green bar, those are the carbon reductions
24 envisioned by statute. And then you can see for scale, you
25 know, what we're talking about here with expected benefits

1 and market transformation benefits. So, you know, every
2 couple of years as we do this report those blue bars will
3 stack up and that will get bigger and bigger.

4 But again, my takeaway personally for me here is
5 that, again, you know, these government incentive programs,
6 they're -- they're a spur, they're a trigger. We can not
7 buy our way to a low carbon future. They really -- the
8 markets have to kick in, the technologies kick in, consumer
9 behavior changes; that's why we're all here to help make
10 that future a reality.

11 So that concludes my part of the presentation.
12 Maybe take a couple clarifying question on this. But again,
13 the commissioner was concerned that we don't want to detract
14 too much from the investment plan discussion. We'll have
15 many workshops to talk about this. You can always call me.
16 Charles and I are working on this. We'll be happy to walk
17 you through some of the things you may have questions about.
18 But maybe we'll take just one or two clarifying questions,
19 if there are any. Okay.

20 Let's go to the next part of the program.

21 COMMISSIONER SCOTT: That's a great summary. And
22 I just wanted to say, thank you to Jim and his team and to
23 the NREL team for all of their really great work on this.
24 It's a pretty complex analysis. It's got a lot of
25 assumptions that underlie it. And so we will -- we will be

1 doing as part of the IPR workshop on this where we can talk
2 about a lot of it in great detail. So this is not your only
3 opportunity to try to -- to try to digest all of this.

4 And Jim is right, the preliminary parts of it are
5 in the IPR, as well, the 2013 IPR that just came out. So
6 that's a good place to -- to look and see, too. So I just
7 wanted to make sure that folks understood we're -- we're
8 kind of just getting going on these. And we will have, as
9 part of the 2014 IPR, a workshop that's focused on this. So
10 it's just the beginning of the conversation.

11 MR. MCKINNEY: So, Charles, you want to take the
12 next?

13 MR. SMITH: Okay. Thank you, Jim. Thank you,
14 Commissioner Scott. Good morning. My name is Charles
15 Smith. I'm the project manager for the Investment Plan
16 Update. I've had mike troubles earlier this morning. So
17 please send a message to Andre Freeman on WebEx if you can't
18 hear me on this mike.

19 So I'm going to give you a little bit of review
20 about the Investment Plan Update and its process. The
21 Investment Plan Update serves as the basis for the upcoming
22 fiscal year's solicitations, agreements, and other funding
23 opportunities. Right now we are anticipating a \$100 million
24 total funding allocation for a variety of fuels,
25 technologies, and other program elements that support our

1 goals. The Investment Plan Update includes allocations that
2 are based on the individual identified needs and
3 opportunities for different fuels, technologies, and vehicle
4 types.

5 This is a summary of our schedule for the
6 Investment Plan Update's development. We released the
7 initial Staff draft in late October, and held the first
8 Advisory Committee meeting at our building in Sacramento in
9 early November. The draft that we have before us today is
10 the revised Staff draft which was released January 10th and
11 is the subject of today's Advisory Committee meeting. Based
12 on feedback that we get from this meeting and other comments
13 that we get through our docket, which I'll describe a little
14 bit later, we will release a Lead Commissioner Report in
15 late March. And we anticipate approval of the business
16 meeting at our -- in April. And it will become official
17 once the state budget is enacted for the next fiscal year.

18 A little bit about this particular draft, we
19 provided it to the legislature January 10th, as mentioned,
20 as part of the governor's proposed budget. This is
21 something that's required in our statutes, along with your
22 requirement that we distribute the final adopted Investment
23 Plan to the legislature in time for the governor's May
24 revise. Throughout the document we have updated our program
25 information, most of which Jim covered in his previous

1 slides, including information about recent solicitations and
2 awards.

3 We've benefitted from previous stakeholder
4 comments. So far we've had 20 items submitted to our
5 docket. And I'll give you instructions on how to submit
6 your own comments at the end of my presentation. And we've
7 also heard from 14 members of the public and 16 Advisory
8 Committee members at our last Advisory Committee meeting,
9 something that we certainly appreciate. Based on the
10 original Staff draft, we don't have any funding
11 modifications proposed for this revised Staff draft version.

12 And my next set of slides will walk everyone
13 through the individual funding allocations within this
14 Investment Plan Update. Within the Biofuel Production and
15 Supply category we've added a summary of our most recent
16 awards. We revised one of the tables in this section to
17 emphasis our oversubscription of not just all proposals that
18 gets submitted for this funding category, but the qualifying
19 proposals that get submitted.

20 A lot of people were wondering if, you know, the
21 number of applications that we were receiving correlated
22 with the quality of those applications. And what we found
23 is that, yes, even if you focus strictly on the applications
24 that received a passing score, we are still oversubscribed
25 in this funding category. We've retained the \$20 million

1 allocation from the previous draft, but we've written in the
2 discretion to set individual funding amounts for fuel types
3 in our future solicitations.

4 Moving now to Electric Charging Infrastructure,
5 we've added in the potential for funding for projects that
6 emphasis medium- and heavy-duty vehicle charging, not just
7 light-duty vehicle charging, which has been our primary
8 focus so far, as well as projects that can support vehicle-
9 to-grid demonstration. We've added references to the
10 upcoming vehicle-to-grid -- vehicle-to-grid integration
11 roadmap that the ISO is helping develop. That had reference
12 to the statewide PEV infrastructure plan, which we expect to
13 be public within the next few weeks or a month or so. And
14 we've maintained the \$15 million allocation in this
15 category.

16 I'll briefly mention, also, the ZEV Readiness
17 Implementation Workshop that we held on January 30th. You
18 can find those materials available online. This is to help
19 us craft a future solicitation for ZEV Readiness
20 Implementation. Jim mentioned a lot of the regional
21 planning grants that we've provided already. This would be
22 to take the next step in those planning grants and convert
23 those plans into implementation. And so we're trying to get
24 feedback on what the best way is to do that, be it signage,
25 education and outreach efforts, permit streamlining,

1 etcetera. Again, the materials are still available online.
2 I think we might still be taking comments on what we can
3 better do to -- to help change those plans into actions.

4 In the Hydrogen Fueling Infrastructure category
5 we've added discussion on the comparability of fuel-cell
6 vehicles and plug-in vehicles as regard to GHG emissions.
7 We've provided updated information about the current
8 hydrogen solicitation that Jim mentioned. And we have --
9 are in ongoing discussions with stakeholders regarding the
10 number of stations that are currently out there. It's --
11 it's sort of tough to pin down exactly what to consider a
12 public station and what to consider an available station,
13 and so forth. And we have a \$20 million allocation for this
14 category in -- in respects to the AB 8 requirement.

15 The Natural Gas Fueling Infrastructure, not too
16 many changes here. We've added language regarding the value
17 of station upgrades and expansions. We need to try to
18 strike a balance between, you know, the very quick and easy
19 value of station upgrades versus the opportunity to expand
20 the natural gas fueling network. And this category still
21 has a \$1.5 million allocation to it.

22 Within the Natural Gas Vehicles section we
23 provided updated information on in-house gas emission
24 reductions from biomethane and NOx emission reductions from
25 natural gas in general, and retained the \$9 million funding

1 allocation here, as well.

2 In the Medium- and Heavy-Duty Truck Demonstration
3 category we've provided a summary of the most recent awards
4 that we've provided, which was demonstration of all-electric
5 truck retrofits. We also added a table that was requested
6 that summarized our investments so far by fuel and tech
7 type. This is Table 10 in the Investment Plan. So it
8 differentiates between, you know, natural gas, advanced-
9 technology engines versus fuel-cell buses versus zero-
10 emission crage (phonetic) vehicles, etcetera. We have also
11 added consideration of supportive non-propulsion
12 technologies that can provide added market value to some of
13 these advanced-technology trucks. Examples include vehicle-
14 to-grid opportunities, charging that takes place while the
15 vehicle is in motion, power takeoff, other applications.
16 And again, we have retained our previous allocation in this
17 category, as well, for \$15 million.

18 For the Light-Duty Electric Vehicle section we've
19 provided an updated status of the ARB's Clean Vehicle Rebate
20 Project. This has been a very popular incentive program.
21 The governor's January budget also provided what might be an
22 opportunity to utilize cap-and-trade funds for this project
23 and/or for other vehicle incentive projects administered by
24 the ARB. So we will need to revisit our funding allocation
25 for this category to the extent that cap-and-trade funds

1 become available for the Clean Vehicle Rebate Project. For
2 now, though, we've retained our \$5 million allocation in
3 this category.

4 The emerging opportunities allocation,
5 traditionally this has been used to provide cost-sharing
6 funding for projects that are seeking federal funds. It's
7 an opportunity to leverage federal funds here in the state.
8 The only real change that we made in this draft was to
9 update information about current solicitation -- about
10 current solicitation for federal cost sharing. And we've
11 kept a \$7 million allocation in that category.

12 In Manufacturing, we received a question at the
13 last Advisory Committee meeting regarding the fact that all
14 of our manufacturing projects so far seemed to be in the
15 electric vehicle category. And -- and that has, in fact,
16 been the case. It hasn't necessarily been designed that way
17 though. So we've clarified that we do intend to have this
18 category be fuel and technological -- fuel and
19 technologically neutral towards all types. And we've
20 maintained our \$5 million allocation -- allocation in this
21 category, as well.

22 In workforce training not a lot has changed here.
23 The primary change was to remove language regarding
24 Proposition 39 that we thought may have applied in earlier
25 months. But it's now looking like that doesn't really have

1 bearing on our particular efforts. And we've maintained our
2 \$2.5 million allocation.

3 So those are all of the funding categories within
4 the advised Staff draft. We'll be seeking feedback from all
5 of our stakeholders, people in the room, people on WebEx,
6 people who couldn't attend today's workshop. We request all
7 comments by February 14th. You can email those comments in
8 via .pdf to docket@energy.ca.gov. And please include the
9 subject line, 13-ALT-02, just to make sure it goes to our
10 program's docket.

11 In the meantime we will continue reviewing our
12 existing investments, as well as keeping ourselves apprized
13 of related programs and policies. We will take all of those
14 comments under consideration as we develop and release the
15 Lead Commissioner Report in March. And that will be the
16 version that we take to an April Energy Commission business
17 meeting for formal approval.

18 My last slide is a summary of the funding
19 allocations within the revised Staff draft of the Investment
20 Plan.

21 So I'll take any clarifying questions now.
22 Understand that we'll go through each of these categories a
23 little bit later. I do have a question online. So Steve
24 Kafka, go ahead.

25 MR. KAFKA: Hello. Thank you, Charles. Can you

1 hear me?

2 MR. SMITH: Yeah. If you can speak up at all,
3 that would be good. We can hear you but it's -- it's pretty
4 faint.

5 MR. KAFKA: How is that? Is that better?

6 MR. SMITH: Marginally. I think we can make it
7 out though.

8 (WebEx participant was inaudible and has not been
9 transcribed.)

10 MR. SMITH: Steve, sorry, we can't really hear you
11 in the room. We'll try to see if there's any way we can
12 modify the sound. Maybe for now, though, could you maybe
13 send your -- well, try again now. We've turned up the mikes
14 in the room a little bit. So try again, Steve.

15 MR. KAFKA: Okay. Is that any better?

16 MR. SMITH: A little bit better. Go ahead.

17 (WebEx participant was inaudible and has not been
18 transcribed.)

19 MR. SMITH: Sorry, Steve, we unfortunately we
20 still couldn't quite hear it. I wonder if maybe --

21 MR. BIENENFELD: He said it would be good if we
22 could have a list of --

23 MR. SMITH: I think -- I think maybe Robert was in
24 a better position to hear your question. Thank you, Robert.

25 MR. BIENENFELD: Yeah. I thought what he said was

1 it would be helpful to have a list of not only approved
2 projects but projects that weren't funded.

3 MR. SMITH: Oh, is that what you --

4 MR. BIENENFELD: Was that it, Steve? Qualified?

5 MR. SMITH: Qualified but not funded; I think we
6 can come up with that list. It would -- it would -- it
7 might be a bit of a long list, so I don't know whether we
8 would include it in the main text of the Investment Plan.
9 But that's certainly something that we can visit. I know
10 that all of the proposals that qualified for funding but
11 received funding, that's certainly public domain information
12 that's listed on our notice of approved awards. So we can
13 find a way to get that information out.

14 MR. MCKINNEY: If I can add to that, Charles.

15 Steve, so I think we -- I think we understand your
16 question. As Charles said, if you go to the web tab that
17 summarizes our funding under the Biofuels NOPAS, those
18 charts list everything that -- that was received, everything
19 that was funded, passed but not funded, did not pass, and
20 then disqualified. So we have those line item summarizes.
21 And then the -- the proposals are all public information.
22 So again, what Charles said, we'll be happy to work with you
23 on that if you want to put a team to assessing those
24 proposals.

25 MR. KAFKA: Thank you very much.

1 MR. SMITH: Thank you, Steve.

2 MR. MUI: Charles, Simon Mui with NRDC. I just
3 had a quick clarification on emerging opportunities that
4 that category -- if I understand correctly, that category
5 was established to -- to look for -- to reserve funds for
6 opportunities that didn't nicely fit into the other
7 categories. I just wanted to clarify, is there a
8 requirement under that emerging opportunities category to
9 relieve federal funding as well now, or is that -- or is
10 that not a prerequisite?

11 MR. SMITH: So in the -- in the most recent
12 solicitation that we've run federal cost sharing was a
13 required element. I think the tricky part of -- of not
14 requiring federal cost sharing is that you cast a very -- a
15 very wide net. And it's much tougher to craft a
16 solicitation that can -- that is open to all other funding
17 categories you know, without any sort of -- without anything
18 that ties them all together like federal cost sharing does.
19 I think it's still something that we can be open to.

20 But again, the trickier part -- it's not tricky to
21 write it into the Investment Plan that way. It's tricky to
22 craft a solicitation that way. So we're -- I think we're
23 still taking input on what would be the best and cleanest
24 way to do it if we weren't limiting ourselves to federal
25 cost sharing projects.

1 MR. MUI: So if I understand correctly, the
2 federal cost sharing helps to kind of limit the scope, so to
3 speak, around what can be funded as opposed to having a wide
4 open solicitation?

5 MR. SMITH: Yes. Yeah.

6 MR. CARMICHAEL: Tim Carmichael. On the same
7 point, except that point that you just made, is there a
8 reason not to take advantage of either Air District matching
9 or foundation matching? I mean, depending on the year,
10 those could be just as much of an opportunity as federal
11 opportunities. And I don't -- I understand you don't -- I
12 understand the reasons not wanting to open up to anything
13 that could come in the door. It could get a little crazy --
14 crazier at the CEC. But it seems like just tying to federal
15 funding may be a little too limiting when there are other
16 opportunities to leverage your funding with other banks, if
17 you will, or other funds.

18 MR. SMITH: Yeah. Thanks. I think we can take
19 that under consideration.

20 MR. GOODARZI: Abas Goodarzi, US Hybrid. My
21 comment is my understanding from this funding, which is very
22 needed and I appreciate that, is that we are -- we are
23 trying to deploy, build these units, and understand what
24 they do in terms of tradeoff of the cost and benefit. At
25 the same time, companies involved try to understand the cost

1 and sustainability, and a good assessment of how much does
2 it cost. And that information is fed back to regulatory.
3 And regulatory sets up a certain requirement based on
4 understanding how much the cost would be to the end users.

5 Based on that understanding some of these
6 allocation of the budget really does not give sufficient
7 cluster of development of multiple vehicles, multiple
8 platforms, or multiple samples so the manufacturers can get
9 a better assessment, what does it take to produce it
10 realistic and have a sustainable product, number one.

11 Number two, when I have a fragmented demonstration
12 all over the place it makes the service and support and
13 maintaining that demonstration very difficult. So
14 therefore, the main demonstration that was supposed to help
15 us to validate the product, it becomes a burden.

16 I highly recommend that even as you go through
17 many years of planning have sufficient cluster of the
18 vehicles or deployments, such that both the end user and the
19 manufacturers will come to a valued data, cost assessment
20 and commercial viability. Otherwise, you keep -- continue
21 going at one-of-a-kind and one-of-a-kind and one-of-a-kind.

22 That's my only comment. Otherwise, the breakdown
23 of these numbers, for example, 15 million for medium- and
24 heavy-duty, it does not give us a cluster of the vehicles to
25 give us good understanding of the cost and benefit, and most

1 importantly the commercial viability of that.

2 MR. MCKINNEY: So, Abas, Jim McKinney here.

3 That's an excellent series of remarks. But I do want to
4 note, just in terms of our process here going forward, if I
5 could ask you to say -- restate that when we get to the
6 funding categories for the vehicles. So we were still kind
7 of clarifying some of the different things here, and I'm
8 sorry if I didn't make that clearer.

9 MR. GOODARZI: Thank you.

10 MR. MCKINNEY: Yeah.

11 MR. COLEMAN: So a question for you on the -- it's
12 actually sort of a three-part question.

13 So the reports that we saw before, which were the
14 assessments of what the existing investment has done or will
15 do in the future, is that part of the requirement of AB 8,
16 in your mind, that was requiring the cost-benefit analysis,
17 or is that a separate effort?

18 COMMISSIONER SCOTT: It's AB 109 --

19 MR. COLEMAN: Or 109. Sorry.

20 COMMISSIONER SCOTT: -- that asks us to do the
21 benefits report. And so that is something that we are
22 certainly doing. And that's what the beneficial report that
23 Jim was talking about is for. But also AB 8 does ask us to
24 do a benefit-cost analysis for the projects. And that's
25 something that we are working on, as well. So there are two

1 pieces and they kind of go together, and we're looking at
2 them both. So I'm not -- what's the --

3 MR. COLEMAN: Well, so -- so the question is, is
4 we've gone through this in multiple meetings over the last
5 few years. But I'm trying to understand how the allocations
6 are being done -- excuse me, I've got a cold -- how the
7 allocations are being done really requires that we
8 understand what the benefits are of those allocations or
9 what the potential reductions are of those allocations.
10 And, you know, we've sort of requested that in the past.
11 And I'm wondering what we had in terms of that for this plan
12 in terms of the ability to look at what the future
13 allocations are and what benefits we expect to see from
14 those. Do we -- is that part of this plan or is that --

15 MR. MCKINNEY: I don't want to speak for the
16 legislative intent with -- with AB 109. But part of our
17 intent with adding these slides into the discussion today
18 is, I think, to spur that very question and maybe have some
19 interesting committee discussions as we go through the
20 funding category. I know, this is really important
21 information. It really -- and I think it really helps
22 highlight. And I would acknowledge Dr. Marc Melajna, if you
23 want to raise your hand, Marc. I tried not to butcher
24 your -- your data and analysis. So -- but Marc is here for
25 consultation and questions.

1 But, yeah, that's the point. And so this whole
2 balance between kind of, you know, near-term benefits, long-
3 term benefits, you know, the very expensive ZEV technologies
4 that we're investing a lot in versus the more cost effective
5 ones, say for biodiesel right now, natural gas trucks,
6 natural gas fueling stations, that's a fascinating tension.
7 That's one reason we have this Advisory Committee of
8 stakeholders from all different disciplines and agencies and
9 parts of the community trying to bring this to bear. So as
10 we get into those discussions feel free to use these initial
11 results as you will.

12 MR. COLEMAN: Yeah. So just -- I mean, as a
13 general statement I, you know, I've been on this committee
14 for six years. And, you know, it's been interesting to see
15 the evolution of it. And I think the program is extremely
16 important and valuable and was very supportive of the
17 renewal of the program. And was also very supportive of
18 those provisions that were requiring that we do a certain
19 amount of analysis of the allocations.

20 My understanding was that there were two pieces of
21 that. One is obviously a cost-benefit analysis of the
22 proposals as they come in. I totally understand that. It's
23 something that we should be doing regardless. But -- but my
24 understanding is what's going to happen in the spring is a
25 revision of that and some more in-depth analysis based on

1 whatever the statutory requirement was.

2 But then the other piece of it is the allocations
3 themselves. Because the benefits of this program are kind
4 of cast in stone before we even get to the proposals based
5 on how we allocate these dollars. And we have never really
6 been able to sit at this meeting or any others and evaluate
7 that because we don't really know what the proposed range of
8 potential reductions are.

9 So, you know, the -- what I'm wondering is are we
10 going to see some of those estimates, and how quickly can we
11 see some of those estimates? Because I think it would be
12 extremely helpful and important to see them in this report,
13 and in particular, even just basic things which you can
14 almost do on the back of an envelope here, which is looking
15 at prior allocations and saying what are the potential
16 reductions that are going to come from those individual
17 allocations. So I appreciated the larger chart. But the --
18 the subsection of that is what's really interesting to me,
19 which is we've spent \$10 million on this category, \$5
20 million on that; what are the actual expected reductions
21 from those? And I looked at, quickly, at the IPR. I didn't
22 see that kind of breakdown in the IPR. So maybe it's there.
23 Maybe it's not something I can pick up really quickly. But
24 it's -- but hopefully we can get that level of detail
25 looking backward.

1 And then looking forward in terms of the proposals
2 for this year, it would be really nice, and I think we've
3 all sort of asked for this a number of years in a row, it
4 would be really nice to see a column that just simply says
5 here's what we expect from some very basic metrics. Here's
6 what we expect in terms of potential reductions for
7 categories like infrastructure vehicles, here are the number
8 of vehicle miles traveled that will be enabled by this
9 investment, here's the, you know, potential reduction as a
10 result of that because we know the profile of those vehicle
11 miles traveled, you know, just very, very basic math that
12 would allow us to say, I get it, I understand why we're
13 allocating those dollars. And in some cases we would
14 probably see, as we all know, that certain categories are
15 overfunded relative to their benefits. But that at least
16 creates a reason to have the discussion around why we're
17 doing that. And why we're doing that may be more subtle,
18 but it may not.

19 So, you know, at the very least I would hope we
20 can get to that kind of conversation. Because otherwise we
21 kind of sit here and don't know what to say.

22 MR. GERSHEN: Hi. Joe Gershen here. I just
23 wanted to agree with Will. I think, you know, there's such
24 a nuance --

25 MR. MCKINNEY: Can you turn on your mike?

1 MR. GERSHEN: All right. Okay. Sorry. I
2 think -- Joe Gershen here, California, California Biodiesel
3 Alliance.

4 First of all, I think the new plan in many ways
5 looks great. And I'm very happy to see the way this plan
6 separate the biofuels by category, which is great. We'd
7 like to see ultimately different policies in the category.
8 I know you're contemplating that. But I agree with Will.
9 And I think there's some nuance here, which is sort of the
10 expected benefits assessment versus the analytical
11 rationale, which is what's called for in AB 109.

12 So I think sort of -- you know, I'm not an
13 engineer, so I look at things very sort of boots-on-the-
14 ground non-technical. And it seems to be that there's a
15 couple ways to look at it. One is we do these projects and
16 we see how well they work, and then we fund them based on
17 how well they work, versus we look in the future and we go,
18 hey, we think that it's going to do this, not actually not
19 knowing what it's doing.

20 And I think that's how -- I don't want to put
21 words in Will's mouth, but that's how I just sort of have
22 seen it, which is, hey, how are these things performing, and
23 then a plan based on how we perform, not how we think they
24 might perform in the future. And that's a subtle difference
25 but it's, I think, you know, what I heard Will asking for,

1 and what I've been asking for as well. Thanks.

2 MR. COLEMAN: Yeah. I mean, just to clarify a
3 little bit, what I'm asking for is both. Because -- and
4 I -- and if you look at the legislation, whether it's 109 or
5 8, both are actually asked for or requested in that
6 legislation, I believe. One is this backward look of how
7 have we been doing and therefore how do we then adjust. And
8 then the other is a forward look of give us some basic
9 metrics to look at to evaluate how you're doing these
10 allocations and why. And some of them, you know, like the
11 hydrogen one are required by law. But they're actually also
12 adjustable by you. So it says a minimum of 20 until we get
13 to 100, but it says that also can be adjusted based on
14 whether or not there's the vehicles out there to sustain
15 that.

16 And, you know, I think that's a question. And I'm
17 sure we'll have a bunch of people here talking about that
18 today. I'm really curious about the answer. But I think we
19 just need to get to that point in the discussion.

20 MR. MCKINNEY: Okay. Tim?

21 MR. CARMICHAEL: Tim Carmichael, California
22 Natural Gas Vehicle Coalition.

23 Commissioner Scott, just for your benefit, this
24 conversation started probably four years ago with the
25 advisory group. Will certainly wasn't the only one raising

1 it. And I know you're a relatively short-timer on this
2 commission and this group, but we -- it's come up every year
3 for I think four years now. And the first year or two we
4 kind of were feeling it out, seeing where things were going.
5 But by the second, certainly by the third year of this
6 program a number of us on the advisory group were saying,
7 you know, we would all be able to get better feedback and
8 the program would be stronger and more defensible the more
9 of these metrics that we can incorporate.

10 MR. MCKINNEY: Yes. This is Jim McKinney. And
11 again, just to -- to go back to the work that Dr. Melajna's
12 team as done at NREL, it really advances what the staff was
13 able to do in the very first benefits report in 2011. So
14 the -- the methodology and the analytics are more rigorous.
15 There's more peer review in them. It takes a lot to get a
16 report, as I've learned, just out of the NREL building
17 complex in the first place. So -- so we're working towards
18 getting that data that you guys are -- are requesting. And
19 I agree, it's very -- it's very important.

20 But to say a couple of things, I think from the
21 staff perspective, you know, we interpret AB 8 really kind
22 of, you know, zeroing in the say solicitation proposal level
23 and not as a cost benefit. It's not a driving metric at the
24 solicitation level. And that's really more the work of this
25 committee, kind of taking the staff recommendations and

1 bringing forth your arguments, your information to either
2 support those, argue higher, lower, etcetera.

3 So we're -- we're working to bring that
4 information and that data to bear with this -- with this
5 entire programmatic process. And again, this is -- this is
6 what I hoped would happen by, you know, introducing the NREL
7 results initially. So again, I look forward to those
8 conversations.

9 And Alberto, and then Will.

10 DR. AYALA: Thank you, Jim. I think you cover one
11 of the points that I wanted to make. I just wanted to add
12 perspective.

13 I think it's incredibly valuable to have benefits
14 material in front of us. Because from my perspective it is
15 (inaudible) of understanding in terms of how we're going to
16 get our hands around this issue. And I very much look
17 forward to learning more about what is here and what NREL is
18 going to be able to help us, and trying to tie that into AB
19 8 and the benefit-cost assessment that we have to undertake.
20 I think we are at a much better place today.

21 And thinking about the question in terms of, you
22 know, how to reflect as to whether we're putting investments
23 in the right area, I appreciate the presentation in terms of
24 the direct benefits, the transformational benefits, and then
25 the growth benefits. Having these numbers will give us the

1 ability to do a direct comparison to some of the AB 32
2 strategies. Because once you quantify each one of those
3 bens you could take the benefits and then go back and
4 compare directly one-to-one in terms of what this is giving
5 us relative to say some of the regulations that we put in
6 place because of AB 32. And then if you start adding the
7 transformational element, and then eventually the growth
8 element, I think you start to get a sense of the magnitude
9 of the importance that this investment is in terms of all
10 the other measures under AB 32.

11 So again, understanding that we're not, you know,
12 looking at full detail. But I see it as an extremely
13 valuable piece of the discussion to actually have this
14 information today.

15 MR. MCKINNEY: So I think it was Will, and then
16 Simon.

17 MR. COLEMAN: Yeah. I mean, I don't want to beat
18 a dead horse. But I do want to, building on that, just give
19 an example which is, you know, you mentioned earlier, Jim,
20 that there's a challenge in the E85 market, that something
21 needs to change in terms of cost or in terms of structure to
22 market. And, you know, we haven't seen funding going into
23 E85 stations for the last two years. And yet in the
24 proposal we're seeing that an expected 33 percent of the
25 reductions will come from things like E85. So there's a

1 challenge there.

2 But then I look at the rationale for hydrogen and
3 for the way that we're dealing with hydrogen infrastructure,
4 and we're even proposing paying O&M. And you look at
5 electric vehicle charging infrastructure and 82 percent,
6 according to the report that we just saw, 82 percent of that
7 is you can go and charge for free at offices.

8 So, you know, we don't have consistency across
9 these different markets in the way we think about them. If
10 we get into -- you know, if the argument is around whether
11 or not these markets are structured the right way and
12 whether we're solving the right problem, that's great. We
13 need to have that discussion. But we also -- I think we
14 need to look at it and say, just from a policy perspective,
15 how much of the reduction are we gaining from the support of
16 that program. And, you know, what it strikes me as is, you
17 know, if I set out in a meeting with a company and said, you
18 know, our sales goal is X, and they said, great, tell us all
19 the things you're going to go and do to get there, and I say
20 these 15 things, and they say, okay, well, what portion of
21 sales do you expect to come from each one of those, and I
22 say, I don't know, and they say, well, you're not spending a
23 dollar on any of that.

24 And that's the equivalent here in my mind, which
25 is do we need to actually have that estimate and say, you

1 know, okay, E85 is struggling in the marketplace, but here
2 are the potential reductions from that, and which pieces of
3 this do we need to support? Because if I look at, you know,
4 205 stations, E85, with 500,000 vehicles out there versus
5 looking at, you know, electric vehicle charging, 7,798
6 stations and 41,000 vehicles, you know, those are two very
7 different things.

8 I absolutely support the electric vehicle charging
9 infrastructure. I think that's really important. But to
10 think that we're done at 205 stations on the E85 side and
11 then the market has to get itself right is -- is something
12 that I worry a little bit about. I think we need to apply
13 the same filter on each one of those.

14 MR. MUI: I've just got -- Simon Mui with NRDC. I
15 was just going to comment a little bit. I think we got into
16 this discussion, which is probably a larger, but I think
17 this is a helpful one. Certainly, we've been asking for --
18 and I think what I'm hearing is steps are being taken around
19 the metrics, development of metrics. And I think to -- to
20 Tim's point, over the years we've recognized a need to
21 develop sets of metrics.

22 But I'd also encourage us not to necessarily take
23 too narrow of a view in terms of this question around both
24 near term and longer term. You know, I think because of
25 analytical challenges, some of the longer-term questions

1 about, you know, is funding in this category -- you know,
2 how do you measure those benefits is -- is going to be
3 constrained from having done these types of analyses myself.

4 But in terms of the overall goals here I do see a
5 large need around this program, certainly adding to some of
6 what Alberto was saying in terms of the scoping plan, AB 32,
7 that this isn't -- this is really complimentary to our
8 longer-term goals. And, you know, I think what's missing in
9 some of the -- what I saw, you know, which is -- there's
10 probably a lot more to it, but the analytics, is also in
11 terms of for each category, each funding category, and
12 understanding of the specific goals within those categories.
13 Because I think if we talk about merely just, you know,
14 dollar for GHG time, you know, in a specific year, all these
15 technologies are on different trajectories and different
16 points in time. And, you know, those types of
17 transformational changes are really important to capture in
18 terms of the longer-term investments.

19 And to the extent that we're -- I mean, to be a
20 little bit crass, you know, if we were to look at cost
21 effectiveness, you know, you'd probable end up with some
22 offset in South America being the most cost effective, but
23 that's not what this program is necessarily about. That's
24 one of the goals is to achieve -- get to a place where we
25 have a set of technologies that longer term are very cost

1 effective. And you don't get there unless you enable --
2 unless you hit these sort of tipping points for each of
3 these technology categories. And I think a definition
4 around, you know, better clarity around what are the tipping
5 points that we want to enable through these -- through the
6 funding of these categories?

7 And we have to think a little bit broader, too,
8 given that there are other programs here at play. You know,
9 we talked a little bit about the GHG investment plan the
10 governor proposed. But going forward, around AQIP, as well,
11 having that coordination, I think, really needs more than
12 ever to continue so that we can really drive, you know, look
13 at these investments holistically.

14 And I think we had a comment that, you know,
15 these -- earlier about these technologies, you know, if
16 you -- if you don't cluster them, if you have one offs, you
17 know, AB 118 is not going to be accomplishing everything, I
18 think, and that's fair to say. But it certainly, in
19 coordination with the set of policies that we have in the
20 state, you know, from vehicle efficiency, with LCFS, you
21 know, sustainable cities, all of these same I think work in
22 tandem. And we've got to step back a little bit and see how
23 AB 118 fits into that -- into that picture, and not
24 necessarily look at this as, you know, the program has to
25 accomplish all the above, so to speak, in transforming. I

1 think it's really critical that we -- we're able to step
2 back, as well.

3 MR. MCKINNEY: Robert?

4 MR. BIENENFELD: Yeah. Actually, I think Simon
5 said more eloquently what I wanted to say. So I'll just say
6 that I really support what Simon said, that the different
7 technologies are on different development timelines. And I
8 fully support, as I said earlier, correlating benefits with
9 the projects. I think that's important.

10 I think we have to be careful, as Simon said,
11 about the creating too much tyranny of metrics. Because
12 the, you know, the purpose, it seems to me, the purpose of
13 government investment is to take a longer-term view towards
14 these technologies that is difficult for private investors.

15 And I think that, you know, if -- if the metrics
16 pencil out in the short term, that's probably something the
17 government doesn't need to be doing. And we're -- we're at
18 an area where we have not quite -- not quite found the right
19 structure of penalties and incentives to reflect the social
20 goals into the market to be effective enough so that we can
21 step back. And that's a little bit of why we're here doing
22 what we're doing. So I think you gist of it. Thank you.

23 MR. COLEMAN: May I ask a clarifying question?

24 MR. MCKINNEY: Go ahead.

25 MR. COLEMAN: Are you -- so are you suggesting

1 that we are worried about actually doing the metrics and
2 what they then force us to do? Or are you saying that
3 you -- it's let's go do the metrics, but let's just be
4 cautious not to do everything by formula?

5 MR. BIENENFELD: Yes, the -- the latter, that I
6 think, you know, I think it was chart number 25 that showed
7 the -- kind of the long-term potential of benefits from
8 NREL's work. I think what's maybe not obvious in there is
9 that some of the -- I would venture to say that some of the
10 higher cost and lower short-term benefits are enablers for
11 the bigger long-term benefits. And I think that's what
12 Simon was getting at. And that's -- that's what I would say
13 is the role of government as opposed to just doing a cost
14 benefit and -- and working based on lowest cost of carbon
15 reductions.

16 MR. MCKINNEY: Okay. So I think Carter had one.
17 And then why don't we -- why don't we kind of close out this
18 round of discussion, and then get into the -- the specific
19 categories.

20 So you get the -- the last word on this, Carter.

21 MR. BROWN: Carter Brown here from Boulder
22 Electric Vehicle.

23 Will, I think the metrics you're referring to are
24 incredibly important, especially coming from the private
25 sector of having just finished a project and wrapped that

1 final meeting literally last week. The -- the staffing and
2 the handholding at the CEC with the private entity to
3 develop these metrics will not insubstantial, especially if
4 you're going to go at what is the direct result of the
5 project, what is the near term as in the next five-year
6 potential result of the project, and what is 20 to 25 years
7 out as a result of the project. And, you know, obviously,
8 each of the projects, the categories feed into the sum total
9 for your metric, you know, those greenhouse gas reduction
10 and petroleum.

11 And it would probably be helping the grant -- the
12 grant apply-ees to get more of a standardized reporting
13 procedure on some of those specific metrics going direct
14 results, near term, long term, and even including NREL's
15 expectations within those specific categories and, you know,
16 letting -- letting the private entities or public-private
17 entities that are applying for the funds know within the
18 solicitation the rigor of the expected reporting and
19 developing those metrics. So --

20 MR. MCKINNEY: Okay. Actually, we have another
21 committee member on the phone that would like to speak to
22 this topic. So I would like to recognize Bonnie Holmes Gen.
23 Can we get her up on WebEx.

24 MR. SMITH: Bonnie, sorry, you're one of the --
25 you're one of several people listed as call-in user. So

1 we're trying to figure out which one you are on the phone
2 line. How about now, Bonnie, can you speak up for us?

3 MS. HOLMES-GEN: Can you hear me now?

4 MR. SMITH: Yes. Yes, we can.

5 MS. HOLMES-GEN: Okay.

6 MR. SMITH: Again, speak loud, because it's a
7 little quiet, but go ahead.

8 (WebEx participant was inaudible and has not been
9 transcribed.)

10 MR. MCKINNEY: Yeah. Thank you, Bonnie, for
11 making those comments. And I think we were able to hear you
12 again.

13 So I would like to turn to kind of the next part
14 of our discussion, although we've already started kind of
15 easing into it. But what we'll do is we'll go through this
16 chart line by line. So we'll start with biofuel production.

17 The way we structure our format here is that first
18 we'll hear from committee members here in the room. Then
19 we'll go to committee members on the WebEx or on the phone.
20 So use the hand-raising tool.

21 And is there anything else they should do, Darren
22 or Charles, to be heard?

23 MR. SMITH: No.

24 MR. MCKINNEY: So we'll do that. And then we'll
25 go to public comments in the room. And then we'll go to

1 public comments on the phone.

2 So with that, I'd like to queue up biofuel
3 production and supply. So the staff recommendation is \$20
4 million. And I will open it to committee comments.

5 Alberto?

6 DR. AYALA: Thank you, Jim. Perhaps very briefly
7 I just want to underline how important we think the heavy-
8 duty -- heavy-duty sector is to reaching our goals. Earlier
9 in your presentation you very nicely laid out the key policy
10 drivers for us. And you mentioned medium- and heavy-duty as
11 being an important sector.

12 So with that in mind I think I do want to point
13 out to the extent that -- that you can to consider the need
14 for diesel substitutes so that we can use them in the heavy-
15 duty sector.

16 But other than that, again, thank you very much
17 for -- for your work on the plan and for the excellent
18 collaboration with our -- with our agency. I appreciate
19 that.

20 MR. GERSHEN: Hi. Jim Gershen here. Can you hear
21 me?

22 MR. MCKINNEY: Get closer to the mike.

23 MR. GERSHEN: Sorry. Sorry. Joe Gershen here.
24 Yeah. I think my comments about metrics, I mean earlier, I
25 wanted to thank you guys again for all the hard work and

1 appreciate the different silos and the most recent pond
2 (phonetic) You know, we encourage you to separate and do
3 separate ponds for the different -- for the different
4 categories. We think definitely the oversubscription of
5 qualified projects, that sort of demonstrates there's quite
6 a bit out there that -- that could be funded. And we still
7 think that our funding allocations should be higher. We,
8 again, appreciate the effort that's been made and what we
9 see happening.

10 Our industry has worked really hard for -- on
11 behalf of the AB 8, so we're really happy about that as
12 well. We also think that the infrastructure funding should
13 come back, the \$4 million that happened and then go taken
14 away. We definitely think it's important. We're seeing
15 quite a bit of biodiesel come into the state. More is being
16 made. We think that by the end of this year current funding
17 that's happened with the Crimson plant and the other plants
18 that we've seen around the state, quite a bit more
19 production by the end of this year. But we don't think that
20 the infrastructure, and I'm not necessarily suggesting rail
21 infrastructure or shipping infrastructure, but just blending
22 the distribution infrastructure doesn't match the
23 production.

24 So in order to support the investments that you've
25 made in in-state production, which is great and we really

1 support it, it needs more funding for infrastructure. We're
2 seeing that there's just not -- there's simply not enough
3 blending and storage infrastructure. There -- there are
4 some of the terminals out there that are trying to run, you
5 know, 7 to 10 million gallons a year and more through a
6 20,000 gallon biodiesel tank. It's just not sort of
7 sustainable. You know, if they blow a pump or something
8 it's down.

9 And so there's not the kind of infrastructure that
10 we're saying, say at the Intermorgans (phonetic) and Fresno
11 and Colton. And hopefully, they've announced that there may
12 be one in San Jose by the end of the year. But we'd like to
13 see more infrastructure to support that in-state production.
14 Thanks.

15 MR. MCKINNEY: Joe, this is Jim McKinney. I just
16 want to follow up on that with a clarifying question.

17 So in terms of the -- the type of storage or
18 blending facility, so are you suggesting that this is
19 something that's needed at the -- at the plants themselves,
20 at the blending facilities, or at different kind of storage
21 modes? You said it wasn't rail. It wasn't marine. I'm
22 just trying to get a better understanding of what this would
23 look like and where the critical needs are.

24 MR. GERSHEN: Sure. I think there's a lot of --
25 there are a lot of existing terminals or racks around the

1 states, less maybe at plants themselves but more at -- I
2 mean, plants usually have, you know, racks, truck racks.
3 Most plants have that. It's part of the process of building
4 a plant. They have to get a way to, you know, to get the
5 product out of the plant. But there is something like 75 or
6 85 racks around the state. And many of them don't have
7 storage, you know, specific storage in blending for
8 biodiesel. And so we think that that would be quite helpful
9 to help fund some of those.

10 There's also quite a bit of individual jobbers and
11 distributors, marketers, on the petroleum side. Most of the
12 biodiesel is blended with -- with petroleum diesel. So a
13 lot of those guys could benefit.

14 I think there's -- you funded Western States Oil
15 up in San Jose, and they've been doing a great job and
16 really put that money -- I mean, it was under \$100,000, and
17 they've really put that money to work. I fueled my own
18 vehicle there the other day. I was up -- I was up in the
19 Bay Area.

20 So, you know, they're -- they're doing -- you
21 know, those types of projects would really benefit from
22 some -- some help.

23 MR. MCKINNEY: Thank you. Are there any -- okay.
24 Will, then Robert.

25 MR. COLEMAN: So just it's sort of a question

1 about this category. I think it extends across a couple
2 others. But you had referenced earlier the market
3 challenges in the biofuel space and how that impacts
4 spending on fueling stations infrastructure. And it seems
5 like the orientation has been to focus entirely on the
6 production side when it comes to the biofuels segment. Is
7 that -- is that accurate, relatively speaking?

8 MR. MCKINNEY: No, I don't -- I think right now it
9 is. But historically, we did some biodiesel bulk storage
10 infrastructure funding.

11 MR. COLEMAN: Yeah. Yeah. I mean going forward.
12 For this plan, I meant going forward.

13 MR. MCKINNEY: I'm sorry, I'm not tracking your
14 question.

15 MR. COLEMAN: So I'm just wondering, it seems like
16 the orientation for this plan going forward, given the
17 market dynamics, the supply is really where to focus the
18 effort when it comes to --

19 MR. MCKINNEY: Got it. Thank you.

20 MR. COLEMAN: Sure.

21 MR. MCKINNEY: Yeah. I mean, we -- we put money
22 into E85 retail dispensing equipment for a number of years.
23 And I don't remember the exact status number. I don't know
24 if any of it ever came here. But I think we funded 205 or
25 210 stations. And I think 20 or so have been built at the

1 most. So clearly there is some challenges with that space.
2 And that's why we paused the funding for that particular
3 category. And again, that's one way we demonstrate being
4 responsive to changes or evolutions in the market.

5 So that was one that had a lot of early term
6 potential. But for a variety of reasons it's not one we
7 propelled as our prime contractor is able to raise capital
8 match and really get out and build it quickly. So that's
9 just another example of how we try to be responsive to -- to
10 different market signals that we receive here. But it's
11 everybody's job to kind of update us if they think there are
12 new changes in the markets and want us to revisit something.

13 MR. COLEMAN: Yeah. I mean, I don't know how to
14 solve the problem of having only, you know, one or two
15 players out there who are willing to do something. But the
16 main reason I ask is because it seems to me that when we're
17 looking at the market now the biggest challenge is a demand
18 challenge. So when you look at the fuel side the issue of
19 financing with these plants is uncertainty around demand.
20 So, you know, to the degree that you have a blend wall with
21 10 percent, you know, now it's up to 15 percent, but there
22 are some real questions around that and what the
23 implications are for your vehicles and, you know, how
24 acceptable that is to some people. And that's still making
25 investors think that really the true blend wall is really

1 still ten percent.

2 But then the other component of it is, you know,
3 when you look at the -- what's going on with the RFS
4 federally there's real questions. And then obviously the
5 LCFS and the questions of how biofuels will be treated under
6 the LCFS, I mean, we know generally, but we don't really
7 know how it's going to turn out. And so -- so, you know,
8 the question is how do you -- how do you remedy that in the
9 market. You know, the simplest answer is, for all these
10 fuels, is really demand; right? I mean, it is. It is. If
11 you have more vehicles that can take that fuel and if you
12 have more distribution, then on the supply side you're more
13 likely to invest in the supply.

14 So I'm sort of -- I don't know what the answer is.
15 I don't know whether -- whether there are other alternatives
16 to propel who could fill that void, whether, you know,
17 you've seen other applicants come in, whether there's a way
18 to approach the vehicle side of the equation with biofuels.
19 You know, 500,000 seems like a lot relative to a lot of
20 other categories. But the problem is concentrations, I
21 think, was mentioned earlier from -- you know, in terms of
22 EVs. I mean, the issue of biofuels is that obviously, you
23 know, I don't have to fill up with biofuels. I do have to
24 fill up with electricity. So utilization rates go up
25 pretty -- a lot higher when you're -- when you're talking

1 about an EV charging station.

2 So, you know, it's that, I think to the point that
3 was made earlier by Carter, that is entirely a market
4 structure question. And I just -- I don't know if you're
5 seeing signals that we should be reading or something
6 different than what I was just describing.

7 MR. MCKINNEY: We've looked at this pretty closely
8 for E85 retail. So there are very serious economies of
9 scale with the Midwest corn ethanol for our in-state
10 producers. They have a lower carbon footprint, a slightly
11 higher price, so it's very tough to compete. You talked
12 about 400; I've heard numbers up to a million flexible
13 vehicles in California. The vast majority of those do not
14 use ethanol at all.

15 So, yeah, market demand. So there's different
16 ways to address market demand. One is education. One is
17 outreach. One is pricing. One is fuel availability. So --
18 and there are others which are not covered here. All those
19 work together to form that dynamic. It's a great question.
20 But -- but again, this particular contractor hasn't been
21 able to put them out the way we thought. And I think there
22 was really kind of a broad understanding or agreement in the
23 first couple of advisory committee meetings and investment
24 plans that this was a very promising sector. It was a low
25 cost way to get a first-generation alternative fuel into the

1 market quickly, and that just hasn't panned out.

2 MR. COLEMAN: Yeah.

3 MR. MCKINNEY: And Commissioner Bora (phonetic)
4 used to make the joke about cellulosic ethanol, it was a
5 great idea five years ago, it's still a great idea, and it
6 will probably still be a great idea in the future too; very
7 serious technology and cost challenges in advanced biofuel
8 development.

9 I just want to say, too, that you've got Bill Van
10 Amburg sitting behind you. So one of his staff, Jamie Hall,
11 has been talking to our staff about how to build market
12 demand for these new biodiesel products -- they're extremely
13 low carbon footprints -- and how to get it up B5 (phonetic)
14 at a state level, and then go past B5 at that. I think it's
15 a great set of questions.

16 So then you're talking about two, you know, kind
17 of key market participants, the majors who are using it as a
18 blend stock, and then large retail fleets. So we have the
19 California Trucking Association. I don't know if they're
20 here online today. We have CALSTART. We've got some pretty
21 sophisticated folks who understand their markets. But
22 there's a lot of development that needs to happen on the
23 demand side, as you say, to build that consumer awareness.
24 And I think in natural gas it's price, price, price. And
25 that screams pretty loudly, and that's really one of the big

1 factors. I thought Robert's comment was -- was intriguing.
2 If you've got the inklings of a successful market, is
3 government intervention still needed? If so, to what
4 degree? And that's a great question for the committee here.

5 I'm talking too much, so I'll stop. Okay.

6 Robert?

7 MR. BIENENFELD: Thanks, Jim. I don't know if
8 this is off topic or not, so stop if it is. I just wonder
9 if there's any correlation between what we're doing here and
10 what PUC is doing with their efforts to expand grid storage
11 potential. I know in -- I just came from a conference a
12 couple weeks ago where there's a lot of talk about using --
13 for example, in Germany something like 20 to 40 percent of
14 wind is curtailed due to the vagaries of their grid. And
15 I'm just wondering if some of what PUC is doing to solicit
16 input on grid storage might be -- if it generates, for
17 example, renewable hydrogen, if you're looking kind of
18 broadly at that.

19 So some of that -- in Europe they're looking at
20 injecting that into the pipelines. And so there's --
21 there's a number of ways. And the interesting thing is that
22 we tend to kind of silo these projects. And this is kind of
23 a broader issue, probably not directly related to this
24 specifically, but maybe deserves some look to see if there's
25 synergies in the future.

1 COMMISSIONER SCOTT: I think that's a great point.
2 We don't -- I don't know off the top of my head whether the
3 research group is looking at that. But we can definitely
4 dig in and find out.

5 I also think it just brings to mind, and it's off
6 topic so I'll just make one sentence and we can take later
7 maybe if you like, the -- the work that this team can do
8 together with the Epic team on the electricity part is also
9 going to be really important in making sure that we're
10 talking well with one another within the commission and sort
11 of coordinating those efforts there. It's got that same
12 kind of idea of overlap. And so we just haven't had a
13 chance to talk to the Epic team because they're -- they're
14 trying to get their program up and running to make sure that
15 we are working together in that way. It's a great point
16 though.

17 MR. MUI: Yeah. This is Simon with NRDC. I'd
18 just like to build off of what Robert had mentioned. But I
19 think that coordination between, you know, really around the
20 biofuels category, gets -- comes home with around biomass
21 feedstock, you know, developing a sustainable biomass
22 feedstock supply in California that can grow the industry
23 here in California I think is a critical part. And there
24 was actually, I believe, an application by one company that
25 was trying to do -- Camelina Oil -- for, actually,

1 bioelectricity. But there seems to be some crossover in
2 terms of the need for some thinking or longer term thinking
3 around developing a sustainable biomass feedstock supply
4 within California.

5 And I think a lot of those issues, we've talked
6 with a number of companies where, you know, until the
7 feedstock question is sort of addressed around, you know,
8 farmers and agriculture wanting to get value for those
9 second-generation feedstocks, for instance, it is -- it is
10 one barrier within -- in addition to some of the production
11 and capacity constraints I think Joe -- Joe mentioned going
12 forward, you know, how to get that really low CI feedstock
13 into the system.

14 COMMISSIONER SCOTT: All right. Just so -- Joe
15 was kind enough to invite me to speak at his conference a
16 few weeks ago. And that was one of the topics of
17 conversation, which -- which feedstocks to grow. And
18 especially here in California, how much water is needed for
19 some of those. And so I just wanted to flag that in case
20 you want to have an interesting lunch conversation, because
21 it was a really interesting topic. And there were a lot of
22 folks kind of thinking through exactly that thing, that.

23 MR. GERSHEN: Joe Gershen here. Yeah, and thanks
24 for coming to the conference. It was great. It was great
25 to have you, and it was a great conference.

1 But, yeah, you know, in fact, certainly back to
2 all of this, it sort of seems to make some sense. Like
3 Jamie Hall has done some great work for CALSTART on trying
4 to get E85 forward and beyond, and that's -- and that's
5 great. And I think there's been a timing issue. You know,
6 some of the infrastructure funding for -- for biodiesel in
7 particular was a couple of years just before I came aboard
8 this committee -- excuse me -- and it was really
9 undersubscribed. And you guys made a point about that.

10 But the fact is it hadn't been very well
11 communicated. I mean, my whole industry was barely aware of
12 it, which is why it was undersubscribed. Also, now that
13 some key investments have been made and we're seeing
14 production in the state go up for low-carbon biodiesel, now
15 it sort of seems now is the right time to bring in some of
16 that infrastructure funding, which is why, of course, I've
17 been lobbying for it here. Because, you know, it seems like
18 there was infrastructure before there was demand from
19 production. Now there's been production, and so now is the
20 time for infrastructure funding, which is again why I've
21 been asking for it.

22 But also -- and Simon, you bring up a good point
23 about in-state feedstock. Now, Steve Kafka can probably
24 speak to this much -- in fact, I know he can speak much
25 better about this than I can. But there are some very

1 interesting low-carbon in-state feedstocks that do not use
2 as much water. And I think that you guys are all right,
3 that we need to focus on that and maybe provide some more
4 funding for that, as well. Thanks.

5 MR. MCKINNEY: Yeah. So I think we're -- okay.
6 We'll take one from Tim. And then I want to go to Advisory
7 Committee members on the phone or WebEx, if we have any.

8 MR. CARMICHAEL: So two points. One, Robert's
9 comment about the PUC reminded me of something that we've
10 talked about in the past, that it's helpful for all of us, I
11 think, to see the state picture as a whole or as full a
12 picture as we -- as you can paint.

13 And what I'm thinking about is in addition to this
14 chart that shows what ARB is funding that may fit into one
15 of these line items, obviously there's the EV line, but
16 there may be others. PUC, as we were talking about, is
17 going to start -- you know, is and is going to do more in
18 some of these areas. I just think it's helpful to know, you
19 know, if CEC -- if CEC is funding \$1 million but the state
20 as a whole is funding is \$25 million, you know, we need to
21 know that.

22 The second issue is Jim mentioned a big award for
23 biofuels that was not realized, not closed, if you will.
24 What's going to happen to that funding? Is it going to feed
25 back into a biofuels solicitation?

1 MR. MCKINNEY: Can you turn your mike off? I'm
2 smiling because Chuck White asked John and Randy and I that
3 many, many times hoping to get a different answer. So the
4 answer is it's gone. It goes back into the general AB 118
5 checkbook or fund. With legislation we can spend \$100
6 million a year. So we can not spend more than that without
7 legislative action. Should we have instances where there's
8 a revenue shortfall through the registration fees, as we had
9 a couple years back, then we could tap those monies, bring
10 them in. But they would be general fund monies, I mean
11 general in terms of our fund. They wouldn't be -- they
12 would no longer have that biogas designation. And then it
13 would be up to the committee to advise on how it should be
14 expended.

15 So, no, that was the unfortunate thing with the
16 High Mountain Fuels project. All the parties worked very,
17 very hard to save that. And one of the reasons was is that,
18 as you know, we have a two-year liquidation phase. And once
19 that is passed the money is no longer accessible or
20 available to us.

21 I did -- do we have anybody from CalRecycle on the
22 line, a committee member, I don't know, Clark or John? I
23 think Howard Levinson was not available today. I'd like to
24 recognize them first because it gets to this exact point
25 that Tim brought up about other agency actions and funding

1 allocations. So

2 MR. WILLIAMS: Hi, Jim. This is Clark Williams
3 with CalRecycle.

4 MR. MCKINNEY: Hi, Clark. Could I ask you just to
5 speak as loud as is comfortable for you? We have a poor
6 connection here. So we've got -- I think we have the volume
7 amped up as far as we can on our end. So anything you can
8 do to amplify yourself, short of screaming, would be --
9 would be helpful.

10 (WebEx participant was inaudible and has not been
11 transcribed.)

12 MR. MCKINNEY: Okay. Thanks very much, Clark. And I
13 want to repeat back some numbers to make sure that I got
14 them right, and make sure everybody in the room understood
15 that. So from your workshop it sounds like your agency
16 recommendation is \$15 million for organics processing
17 projects. So would that include say anaerobic digestion to
18 fuels projects? Is this a general -- what are the -- what
19 are the allowable end products? Let me put it that way.
20 Could it be power? Could it be fuels? Could it be
21 something else?

22 (WebEx participant was inaudible and has not been
23 transcribed.)

24 MR. MCKINNEY: Great. Thanks very much, Clark.

25 Do we have any other committee members on the

1 phone? On the WebEx? Steve Kafka, let's try again to patch
2 you through.

3 MR. KAFKA: Is this any better?

4 MR. MCKINNEY: Not really.

5 MR. KAFKA: No?

6 MR. MCKINNEY: No. It's just -- it's just
7 unfortunate. I apologize.

8 (WebEx participant was inaudible and has not been
9 transcribed.)

10 MR. MCKINNEY: Yeah. I'm sorry, Steve, I'm going
11 to have to ask you to -- I don't know if --

12 COMMISSIONER SCOTT: Can he send his question to
13 Darren?

14 MR. MCKINNEY: Is there -- can you type your
15 questions into --

16 MR. SMITH: The comments.

17 MR. MCKINNEY: What are you saying there, Charles?

18 MR. SMITH: If you -- Steve, if you could type
19 your comments into WebEx, some -- Andre Freeman will get
20 them here in the room and we can -- we can read your
21 questions, read your comments in the room and expand upon
22 them here. So sorry it hasn't worked out better on the
23 audio side.

24 MR. MCKINNEY: And for everybody on the phone.

25 MR. SMITH: And, yeah, that might actually hold

1 true for a lot of folks on the phone. If you're willing to
2 go with us on that I think it would -- it would help us
3 digest your comments and questions and you could probably
4 get a little bit better response from us, as well.

5 MR. MCKINNEY: Okay. So if there are no other
6 parties on WebEx, do we have public comment in the room?
7 Matt Miyasato, you want to come up to where Randy was
8 sitting and identify yourself, speak into the mike, all that
9 good stuff?

10 DR. MIYASATO: All right. Thanks. Matt Miyasato,
11 South Coast Air Quality Management District. I was remiss
12 in not welcome the CEC staff and the commissioner to the
13 South Coast region. So I'm glad to have you in the greater
14 L.A. region.

15 I just want to make one comment here on
16 alternative fuel production. As you know, in particular for
17 biodiesel, I think Dr. Ayala kind of pinpointed the concerns
18 that we had in the South Coast, is that it's all about NOx
19 in our region. So we've got to reduce NOx emissions, as he
20 mentioned, about 90 percent if we're going to hit the
21 federal standards. So we're talking about a drop in fuel
22 for biodiesel. We want to make sure that there are no NOx
23 increases. And as you know, all biodiesels aren't created
24 equal. So we really encourage you, if you're going to fund
25 biodiesel projects, you look at renewable diesels and those

1 that have NOx mitigations within their blends. So that's my
2 comment. Thank you.

3 MR. MCKINNEY: Great. Thanks, Dr. Miyasato.

4 Any other comments in the room? Any public
5 comments on the phone?

6 MR. BROWN: Jim, just one quick question. Could
7 you clarify the previous speaker that was talking about
8 the -- his name was Clark, who was talking about the
9 different ponds that were going --

10 MR. MCKINNEY: Yeah. That was Clark Williams,
11 CalRecycle. He's a program manager there. And Howard
12 Levinson is the deputy director, I believe. And then Jacque
13 Franco is a senior staff analyst and technical expert.

14 COMMISSIONER SCOTT: Why don't we see if we can
15 get the web page that he mentioned. And we'll make sure
16 that we get that out to everybody here so that you can look
17 at it. And I'll bet that some of the highlights that he
18 went through are there, as well. So we'll be sure to do
19 that.

20 MR. BROWN: Thank you.

21 MR. MCKINNEY: I'd like to recognize Bill Van
22 Amburg from CALSTART.

23 MR. VAN AMBURG: I never try to speak for Jamie
24 Hall because he's actually quite a bit smarter than I am on
25 these things. But I do think that there is some opportunity

1 in this space to really be thinking about ways to spur the
2 market beyond just the production piece. It could be to
3 bring in fleets. It could be some outreach component to
4 that on kind of a market acceptance driver.

5 Jamie and CALSTART are actually organizing a low-
6 carbon fuel summit coming up April 2nd. These are some of
7 the issues we actually want to raise at the summit, is what
8 are some of the breakthrough strategies to help the fuels --
9 for helping them into production? How do we get them faster
10 into use, or what are some of the other barriers? And that
11 could potentially help inform other areas in which you can
12 put in your dollars.

13 MR. MCKINNEY: Is that April 2 or 4?

14 MR. VAN AMBURG: April 2nd. Chose not to do it on
15 April 1st.

16 MR. MCKINNEY: Okay. I think we're ramping down
17 committee discussion on the subject area. Last call for
18 public comments? Okay.

19 With that I'd like to begin our discussion for
20 alternative fuel infrastructure. And let's see, we're going
21 to come up against lunch pretty quickly here. So I know the
22 Air Resources Board has a presentation that Dr. Ayala will
23 give. And I think that will be good in the light-duty
24 electric vehicle category.

25 Does that work for you, Alberto?

1 DR. AYALA: Sure.

2 MR. MCKINNEY: Okay. Great. And we have
3 CALSTART's slides now queued up.

4 So the -- the first category here is electric
5 charging infrastructure. And so we -- the staff
6 recommendation is \$15 million. Just for a quick summary,
7 that is double what the commission has done historically.
8 Staff thinks that that is prudent given the tremendous
9 expansion of the light-duty electric and plug-in electric
10 vehicle markets right now. Kind of the (inaudible) stories
11 of charger rage that Leslie Brody (phonetic) has been
12 sharing with us, Tesla drivers clubbing one another trying
13 to make sure their vehicle is totally charged. So -- so
14 that's why -- and again, the governor's mandate. So the
15 numbers are just fabulous for -- for light-duty electric
16 sector now. I think we're at 60,000 vehicles total in the
17 state. But there are a lot of zeroes between 60,000 and 1
18 million. So that was the short version of the staff
19 rationale for giving to this category.

20 So I'd like to open this for Committee discussion.

21 MR. MUI: I'll venture. I just don't want to go
22 first. Simon Mui with NRDC. We do see a need for continued
23 investments in infrastructure broadly around all fields, and
24 in particular around this electric vehicle category. We do
25 want to start, as part of the Charge Ahead California

1 campaign, which is a group of 78 organizations in public
2 health, environmental justice, environmental community,
3 supporting policies around electrification.

4 One of the -- one of the areas that we do see is
5 around a multi-dwelling unit. And we'd like to see more
6 focus connecting particularly disadvantaged lower income
7 communities to build access going forward over the longer
8 term. And one of the key pieces that we think obviously is
9 making sure too that, for example, the energy settlement,
10 that we are, in fact, doing additional installations and
11 focusing in on -- on areas where access with the large
12 segment of California's population actually in multi-
13 dwelling units, to focus resources on that.

14 The other category that we're very supportive of
15 is actually as we move to zero and below emission freight
16 strategies, thinking about infrastructure in terms of
17 medium-duty trucks, short-haul trucks, transit agencies.
18 I'll speak to this a little bit in the next category around
19 medium- and heavy-duty trucks. But I'll talk about a report
20 that a broad coalition just put out called Moving California
21 Forward on Zero and Low Emission Freight Pathways, which
22 I'll share.

23 But generally those are our -- my thoughts on the
24 infrastructure piece around electric charging.

25 MR. MCKINNEY: Alberto?

1 DR. AYALA: Thank you, Jim. Just -- I just want
2 to echo what Simon just very nicely laid out. For the Air
3 Resources Board, we are fully in support of the state
4 continuing to support and invest in infrastructure, and to
5 Tim's previous point on getting the state picture in terms
6 of how we are all coordinated and moving in the same
7 direction. I think to me what we're doing to transform
8 transportation is a perfect example of what good
9 coordination and smart investing is. And certainly our
10 allocations for infrastructure are -- are extremely critical
11 and supportive of some of the policies that the Air Board is
12 supporting be placed.

13 Simon also mentioned that we need to start
14 thinking in terms of prioritizing. And clearly multi-unit
15 dwellings and workplace charging are key strategies. He
16 also pointed to California's emerging freight strategy that
17 is going to focus on zero and near-zero technologies.

18 So to the -- to the extent that we can start
19 thinking about what comes next, I think that will be very
20 beneficial. But again, I just appreciate the emphasis
21 and -- and highlighting the importance of infrastructure.

22 MR. COLEMAN: Yeah, just to reiterate, my only
23 concern is not about electric charging infrastructure in
24 particular, but just that I think the number for other
25 solutions, so biofuels, should not be zero. I think -- I

1 don't know how you do it, but if you were -- if there was a
2 way to create a category that could flex across these
3 categories so that, you know, in terms of reacting to the
4 marketplace in some way. To the degree that there are
5 applicants out there that can fill some of the voids where
6 we haven't seen them yet, they could come in any given year,
7 I think you're going to create an opportunity for people to
8 come in with opportunities we haven't anticipated.

9 And so it would be great to have some portion of
10 this carved out for that. And if they don't come forward,
11 then maybe you could apply it towards the categories they
12 missed based on demand.

13 MR. MCKINNEY: Robert?

14 MR. BIENENFELD: Yeah. Just apropos of your
15 anecdote from Leslie Brody, I hope we're doing some research
16 on -- first of all, I really support this category and the
17 funding level. I think someone mentioned earlier the
18 potential of just displacing home charging due to the
19 availability of free public charging might be misleading in
20 terms of actual demand. And so I hope that in follow-up
21 research on -- on the results we're not confusing that --
22 that displacement. I'm sure it's a small percentage, but we
23 should know what that is.

24 MR. MCKINNEY: Robert, could you turn off your
25 microphone please?

1 COMMISSIONER SCOTT: So I think we're going to get
2 ready to turn to going to visit the truck that we have here.

3 One thing I wanted to say, and I have some great
4 notes and ideas and thoughts based on what you all have told
5 me so far today. And maybe what I'll do is just kind of
6 summarize all of it at the end of the meeting, kind of the
7 key themes of what I heard.

8
9 I did want to note that Chair Weisenmiller on the
10 Epic program made a commitment to diversity and outreach.
11 And I make that same commitment on the Alternative and
12 Renewable Fuel and Vehicle Technology Program, which is that
13 we want to try to make sure that we're outreaching, you
14 know, because this is -- it's just like you said, it's
15 important that this program is accessible to everybody. So
16 we want to make sure that we're doing -- so I want to make a
17 similar commitment; right? We're going outreach to folks
18 that may or may not have heard as much about this program.
19 We want to target probably some geographic regions of the
20 state. And we also want to track and monitor our progress
21 for minority-owned businesses, for women-owned businesses,
22 for disabled veteran businesses, as well, to see how we're
23 doing.

24 And so that's something that my team is going to
25 work on with the Epic team to make sure that we've got that

1 component -- it's just one piece of it -- but to make sure
2 we've got that component as part of our program. So I
3 wanted to highlight that for you all.

4 And then I'm going to turn to Boulder Electric and
5 just say that before we break for lunch I'd like to invite
6 Mr. Carter Brown, the CEO of Boulder Electric Vehicles, to
7 say a few words. He's brought for us today a model DV500
8 truck. These are battery electric vehicle trucks that would
9 typically be used as delivery and service vehicles. And
10 Boulder has sold approximately 50 of them already.

11 The Boulder Electric Vehicle was the recipient of
12 a \$3 million ARFVTP grant supporting the construction of
13 medium- and heavy-duty electric truck and bus energy
14 efficient manufacturing in Southern California. And this, I
15 know that I don't have to talk to you all about the terrific
16 partnerships that were able to form with companies and folks
17 throughout the state to really show how important it is for
18 us to be able to transform our transportation fleet.

19 So I'm going to turn it to you. And then what I
20 might suggest we do is take about a five-minute break, since
21 we're been going straight through. And then maybe we can
22 all meet up front at like 12:35, and we'll walk over to
23 where the truck is together for folks who are interested in
24 seeing the truck at lunchtime.

25 MR. MCKINNEY: Wait, one more thing.

1 COMMISSIONER SCOTT: Oh, sorry.

2 MR. MCKINNEY: Just one more logistical thing.

3 The folks here lending us their building, they've put
4 together a list of nearby lunch places. So I'll make these
5 available on the back spot there so you can figure out where
6 to go get a lunch that's nearby.

7 MR. BROWN: Hi. My name is Carter Brown. I'm the
8 CEO and also the founder of Boulder Electric Vehicle. We're
9 very, very thankful of the California Energy Commission's
10 support.

11 We're very thankful for our relationship with the
12 Los Angeles Mayor's Office of Economic Development who
13 really started this conversation off at a conference in Long
14 Beach, California, Plug-In 2009 in August of 2009. Alex Fey
15 and I sat down for lunch there. He said, "We would be very
16 interested in having a manufacturing plant in Los Angeles.
17 And now let's start looking for the funds."

18 One thing Mayor Villaraigosa signed into law was
19 the eight percent purchasing preference with the City of Los
20 Angeles. That was a key turning point of us actually
21 settling in Los Angeles instead of any other community in
22 Southern California or throughout the State of California.

23 One of the things we've done, and we were already
24 producing prototype electric vehicles in Colorado, we took
25 our basic manufacturing knowledge and through the California

1 Energy Commission and the AB 118 support refined our
2 manufacturing processes, light-weighted the vehicle, losing
3 on a typical delivery vehicle almost 40 percent of the dead
4 weight of the vehicle. And this would actually allow us to
5 take the 80 kilowatt hours of energy stored in a battery
6 pack and get a full 100-mile range off of that. And that is
7 in tests that are totally loaded with soda pop or lines or
8 packages. So that was an incredible feat just engineering.

9 A lot of the project went to refining our build
10 books, refining our part management system, refining our
11 inventory, refining our management of the manufacturing
12 processes. One of the key things that we did on the energy
13 efficiency side was to start cycling our battery packs. And
14 imagine if you have two glasses of water side by side and
15 one is completely full and the other is complete empty.

16 To get rid of the infant mortality in the battery
17 cells where they die in the first ten cycles or they last
18 2,000 or 3,000 cycles, we started implementing vehicle-to-
19 grid inside of our manufacturing plant for final tests, so
20 the energy would actually go at 60 kilowatts back onto the
21 grid instead of actually having to drive the energy down for
22 final tests.

23 For battery pack tests we did another creative
24 interesting thing. Now imagine the two glasses of water;
25 one is completely empty, one is completely full. We're

1 taking battery packs side by side before they go on the
2 truck for final assembly testing and taking the energy of a
3 full battery pack and transferring it into an empty battery
4 pack so they equalize out. And they're each cycling, and
5 they're cycling with only about a five percent energy loss.

6 So if you have an 80 kilowatt hour battery pack
7 and it has to be cycled 10 times before it goes on the
8 truck, that's 800 kilowatt hours of energy use. All of a
9 sudden you're reducing that to 5 percent of only 40 kilowatt
10 hours of energy use. So it's an incredible energy
11 efficiency measure that we developed and implemented as part
12 of this program with our \$3 million grant from the
13 California Energy Commission.

14 And over the -- over the expected ramp up of the
15 plant, and we're planning on 50 trucks this year, and I want
16 to say something like 150 the year after, 500, then 1,000,
17 over the total, just the energy saved on that one step in
18 the plant is 1,226,000 kilowatt hours of energy just saved
19 in our manufacturing process alone.

20 And with that, we're going to be out. We've got
21 handouts here about our facility. So I'm going to put them
22 right next to the lunch information and the maps. And we
23 have one of our electric trucks, one of the first three
24 built here in California, out in the parking lot. And
25 you're all welcome to drive it. Just don't take it like one

1 of our -- one of our associates at the Energy Commission,
2 don't take it at 100 miles an hour down the HOV lane of the
3 118. Thank you very much.

4 MR. MCKINNEY: So before we break, Carter, I think
5 we had a question for you from the phone.

6 MR. SMITH: Yeah. One quick question from Clark
7 Williams. He was asking if you could clarify the eight
8 percent purchasing preference that you said was key to
9 siting in L.A.

10 MR. BROWN: Here is how our logic went. Mayor
11 Villaraigosa signed this into law. And it was actually
12 after we had written the grant that we knew it was coming
13 through our contacts with the mayor's office. He signed
14 into law an eight percent purchasing preference for anything
15 made inside the city limits of Los Angeles. And in effect
16 any city fleet or organization that is purchasing goods had
17 to give an eight percent reduction in the cost of those
18 goods when they are bidding those goods if that particular
19 organization was manufacturing the goods or was based in the
20 City of Los Angeles. And our reasoning went that since Los
21 Angeles owns LADWP, Los Angeles Department of Water and
22 Power, it's similar to New York City owning Con Edison,
23 which they don't.

24 So in effect Los Angeles has the largest city
25 fleet in the country. So we found that an incredibly good

1 economic incentive for us to actually start manufacturing in
2 the City of Los Angeles. And our very first California sale
3 actually went to the Port of Los Angeles, which falls under
4 that.

5 So thanks, Clark, for asking the question.

6 MR. MCKINNEY: Okay. Let's go see a cool truck,
7 and then we'll reconvene here at about 1:30. So thanks.

8 (Off the record at 12:31 p.m.)

9 (On the record at 1:38)

10 COMMISSIONER SCOTT: Hello everybody. Welcome
11 back from lunch. So we're going to go ahead and get started
12 again. I think I will turn it back over to Jim. Welcome
13 back.

14 MR. MCKINNEY: Thank you, Commissioner. Thanks,
15 Members of the Committee. So we're going to pick up again
16 with hydrogen fueling infrastructure. So if you could get
17 that funding -- funding, kind of basic funding slide back
18 up.

19 And it's my understanding that John Shears, who is
20 an Advisory Committee member on the phone, would like to
21 make some comments about some of the above things. He
22 wasn't able to connect in. So why don't we go to Mr.
23 Shears.

24 COMMISSIONER SCOTT: He's not back yet.

25 MR. MCKINNEY: Oh, he's not available? Okay. Why

1 don't we keep checking in with him.

2 DR. MIYASATO: Jim, I have a question. Are you
3 going to have public comment for the EV infrastructure?

4 MR. MCKINNEY: Did I forget that? Would you like
5 to make a comment, sir?

6 DR. MIYASATO: I have a question.

7 MR. MCKINNEY: Please.

8 DR. MIYASATO: And then maybe a comment.

9 MR. MCKINNEY: Can you approach the mike and then
10 identify yourself, Mr. Matt Miyasato with South Coast.

11 DR. MIYASATO: Thanks. Matt Miyasato, South Coast
12 AQMD. I just had -- I wanted a clarification from the staff
13 on the EV infrastructure distribution. First of all, I
14 support the Energy Commission and their efforts here. We're
15 happy to be partners with the commission on several
16 projects, as Jim pointed out in his presentation.

17 The question though is: Of the funding that's
18 made available for EV infrastructure, do you have a vision
19 on how much you would segregate for resident, light-duty,
20 medium- and heavy-duty, or DC Fast Charger?

21 MR. MCKINNEY: Thanks, Matt. I think that's a
22 very important point of discussion. And I hope -- I'm going
23 to look at John here. We haven't really planned out how to
24 do that next solicitation or if there will be a workshop.
25 But I think the amount of money and the range of subject

1 areas that we want to cover, that some level of in-depth
2 discussion with key stakeholders is necessary.

3 MR. VAN AMBURG: So thank you. Bill Van Amburg
4 from CALSTART. Just on -- on this one, we actually really
5 support what Staff is doing to bring medium- and heavy-duty
6 into EV infrastructure. I think that's just a tremendously
7 smart move. I think this is a growth area that actually
8 needs support. I would say that there are some
9 opportunities, also, for some development work that could be
10 needed. Maybe this falls more into the Epic line of things.

11 But around Fast Charge, or just charging for larger battery
12 packs in the commercial vehicle world, we're talking 80 to
13 120. And if you get into goods' movement vehicles, maybe
14 300 kilowatt hours.

15 So, I mean, we really need to be thinking about
16 much larger infrastructure than just for the light-duty
17 side, although I think there's some piggybacking that can
18 take place around DC Fast Charging, maybe. I think -- so
19 those are areas that would, I think, be really important to
20 kind of keep a focus on.

21 The other thing is I would just say when it comes
22 to workplace charging and some of the planning that goes on,
23 we would really -- we think that is good on the regional
24 basis. We would observe that I think there's also a role
25 for kind of a statewide approach to it. There's an awful

1 lot of similar issues that -- that could be coordinated at
2 the state level now that the Plug-In Electric Vehicle
3 Collaborative is doing some of that. But I think some
4 additional resources, just to coordinated best practice and
5 other things that are out there, could be useful to help
6 support the regional planning that's underway so that we
7 don't get sideways with ourselves in our own state.

8 MR. MCKINNEY: All right. Thank you, Bill.

9 Let me try that again. Are there Advisory
10 Committee members on the WebEx or the phone to speak to
11 this?

12 Carter?

13 MR. BROWN: Yeah. One thing I wanted to add to
14 Bill's comments, and I really appreciate he's headed in.
15 And I had actually explained this to Randy earlier. He
16 said, "I've never heard the problem put so succinctly."

17 A lot of the major delivery fleets, whether
18 they're packages, linens, beverages or so forth, they have
19 their depots located in an area that is a warehouse zone,
20 and it's zoned for warehousing. It's very poor power, very
21 small amounts of power in that area.

22 So I've heard from the majors that we actually
23 have to dig up three or four streets and run power from
24 three or four or six or eight blocks away, all the way to
25 our depot. It's like we don't care about the price of the

1 EVSEs, and that's -- that's paraphrasing. But EVSEs are
2 relatively cheap. But it's taking them millions of dollars
3 to run the power for, let's say, 100 delivery trucks that
4 each have a 220 amp service with 60 amp -- with a 220 volt
5 service, excuse me, with 60 amps times 100 trucks, there
6 needs to be a program in place, a granting mechanism or a
7 funding mechanism to cover the infrastructure on getting the
8 utility to run from their generator or from their substation
9 over across to an area that doesn't have significant power
10 so that they've got enough electricity. And this would
11 coincide with -- I mean, when you run larger wires they can
12 go both ways. So this could coincide with the energy
13 storage mandates for the State of California if these
14 were -- the funding was tied to them being bidirectional
15 so -- so that you could have the on-demand, you know,
16 frequency response, regulation grid storage, you know, all
17 in one -- one package. So that's the direction that, you
18 know, I think some of the funding could be parceled off to
19 with great benefit.

20 But Will was saying, from Onramp Capital, earlier
21 about -- saying these are specific routes, and we know how
22 much the return on investment will be for our carbon savings
23 and for our petrol savings. That gives us significant
24 return on the monies spent because you can very accurately
25 predict the usage and the carbon savings and the petrol

1 savings. Thank you.

2 MR. MCKINNEY: Okay. Thank you. Are there
3 members present or on the phone who wish to speak to this
4 topic? Okay.

5 Why don't we go now to hydrogen fueling
6 infrastructure. Not a lot of Staff discretion at this
7 point. I will signal though that the Energy Commission
8 staff and the ARB staff have started coordinating now on the
9 AB 8 requirements. So we'll -- as we develop those we'll
10 share those through the Investment Plan process with other
11 committee members. But any discussion on the \$20 million
12 for hydrogen funding?

13 MR. BIENENFELD: Excuse me. Robert Bienenfeld
14 from Honda California Fuel Cell Partnership. Yeah, we're --
15 we're very pleased with the commission's work on -- on
16 hydrogen infrastructure funding. And I think with respect
17 to the discussions earlier this morning, certainly hydrogen
18 is one of the longer term and higher potential investments,
19 but it's going to take a little bit of time to develop.

20 There's just a couple things to note. I think the
21 sales volumes you reference are pretty -- pretty outdated
22 from the partnership. And I think we're going to have to
23 get new volumes. Right now there's no -- it's last best
24 estimate, but that's -- that's going to be challenging.

25 And I think it's timely that the CALSTART comments

1 were just before ours. I just would like to note, and this
2 is probably for all the fuels, that as you move into medium-
3 and heavy-duty fleets it's important to recognize that
4 that -- and I think you -- I think the commission does
5 understand this very well, and that is that there often is
6 very little overlap in infrastructure development. And I
7 think we should just be cautious about any kind of overlap
8 that's promised where consumers generally don't want to
9 refuel where -- where big fleets are, you know, unless it's
10 on -- on a turnpike out in the middle of nowhere. But
11 that's -- that's just something I'd caution, and especially
12 as it relates to hydrogen.

13 Anyways, thank you for the work. And, of course,
14 we support the Investment Plan.

15 MR. MCKINNEY: Alberto?

16 DR. AYALA: If I may, I do want to take a minute
17 to make sure that we, for the record, state the significant
18 support that the Air Resources Board places on the
19 allocation to hydrogen, as we discussed this morning. The
20 more and more we understand what it is going to take for us
21 as a state, as a society, to reach our goals in terms of air
22 quality and greenhouse gas emission reductions the more
23 evident it becomes that hydrogen is going to play a very
24 important role. And anything and everything that we can do
25 now to accelerate that transition, it is critically

1 important. And we all need to work together towards that
2 goal.

3 I'd like to say that at this point in time the
4 funding is -- is -- it's extremely beneficial. But it is a
5 time of all hands on deck; we've got to make it happen. We
6 get -- we're getting one shot at this and we need to make it
7 real this time.

8 And I think having the visionary statements that
9 you made in the morning, Jim, and in the -- in the plan is
10 helping us all push in that direction. And again, I think
11 reiterating what was said earlier, as well, clearly the
12 emphasis initially is going to be in the light-duty sector.
13 But we need to start thinking other sectors, heavy-duty
14 sector, how does this fit into an overall strategy that is
15 really going to take transformation to get us to zero in as
16 many different parts of the economy as -- as we begin to
17 find out what is needed for -- for reaching our goals.

18 MR. MUI: Simon Mui with NRDC. And I think I just
19 broke this -- this speaker, so you can send me the bill.

20 The -- but the -- on the hydrogen infrastructure
21 thought, I did want to stress the -- the need around also,
22 you know, to build off of some of Robert's comments, you
23 know, to think about both the light-duty, but also this
24 freight component, recognizing that the infrastructure may
25 be different in infrastructure needs.

1 But one of the things that we are very interested
2 in, as well as going forward as you look at the funding of
3 infrastructure, to better understand with a lens towards
4 lower income communities, kind of where the -- particularly
5 on the freight side where you actually have, you know,
6 upwards of 84 percent NOx reductions and having no GHGs, you
7 know, that there are local benefits to those reductions, and
8 understanding, you know, where the infrastructure is
9 relatively -- having those metrics, and also having that
10 overlay in terms of that lens of providing community
11 benefits I think is a good one to just keep on engaging with
12 and collecting and sharing.

13 MR. MCKINNEY: Okay. Thank you. Wow, that really
14 is broken.

15 MR. MUI: Don't -- don't try to move the mike.

16 MR. MCKINNEY: Okay. Do we have any members on
17 the phone who want to speak to hydrogen? Any members of the
18 public? Matt Miyasato, then Bill Van Amburg.

19 DR. MIYASATO: Thanks, Jim. Matt Miyasato, South
20 Coast Air Quality Management District. I just want to voice
21 our support for the Energy Commission's efforts,
22 specifically with regard to the hydrogen fueling
23 infrastructure allocation that's noted here.

24 But I also want to note that we've been working
25 very closely with the commission on a recent grant. I think

1 it's been a great example of how all of our agencies, the
2 Air Resources Board, the Energy Commission, the local
3 regional agency, South Coast, are working toward deployment
4 of the stations. So I just want to thank the commission and
5 staff for the work on that. And we'll hopefully see an
6 award here shortly.

7 MR. MCKINNEY: Yeah. Thank you, Matt. I just
8 want to echo that back. Larry Watkins, your project
9 manager, is really doing a great job in moving this forward.
10 So we're -- we're very pleased with the collaboration.

11 Bill?

12 MR. VAN AMBURG: Bill Van Amburg from CALSTART.
13 So I think in this area, you know, we -- it is an important
14 investment area. And with all due sensitivity to our
15 members and friends in the automotive side who are concerned
16 about people not wanting to refuel where trucks and buses
17 may be, a legitimate concern, I do think that when it comes
18 to a business case and high volume throughput, much like in
19 the natural gas arena, I think we're going to see some
20 opportunities that at least are worth paying as close an
21 attention to as we can and see where there are win-wins
22 there. Because I certainly see in the transit bus
23 marketplace, the zero-emission buses, and fuel cell in
24 particular, it's really starting to emerge. I mean, I think
25 we can see somewhere between 40 and 160 buses that could --

1 at least half of which could be fuel cell zero-emission
2 buses over the next three to four years. That's a lot of
3 hydrogen moving through.

4 And I think the challenge we've had with hydrogen
5 fueling stations in the nearest of near terms is just
6 finding somebody who's got a business case to run it. I
7 think if we could find attractive places to support both
8 markets, at least in a couple of locations, it -- it would
9 help us as we grow this network.

10 But looking down the road I do also think in port
11 regions, and particularly in Southern California, the goods'
12 movements vehicle with maybe a range extender structure with
13 a fuel cell and zero-emission transit could also create some
14 interesting early, if you will, key markets for hydrogen.
15 So I think we have to be smart about making sure that people
16 use them on the automotive side. But also let's really be
17 thinking about where these big notes might be that might --
18 might have two sides to the station.

19 MR. KEROS: Hello. Alex Keros with GM. Again,
20 like the comments before me, just want to reiterate the
21 support for the allocation and the good work that's ahead of
22 us.

23 I think the important thing here to remember is,
24 from your slide, Jim, about the \$40 million to \$60 million
25 that is on the street, the real benefit is putting together

1 a network that's viable for these earliest of customers. I
2 think a lot of the good that we've done at the partnership,
3 as well as some of the future efforts that really boiled
4 down some of the key execution pieces, is going to be
5 important moving forward. But having that backdrop with the
6 O&M funding and the other concepts that have been integrated
7 into the solicitations I think has been a real important
8 moving -- step moving forward, so thanks.

9 MR. FORREST: This is Matt Forrest with Mercedes-
10 Benz. It'd like to echo the comments that were made before
11 me about the hydrogen fueling structure. I'd also like to
12 add that as a stakeholder we are working with the -- the
13 bidders. We'll be pursuing this money and helping them to
14 ensure that they are coming forward with the best projects
15 that they can, that they're located in good areas to be
16 successful to maximize the benefit to not only ourselves but
17 also the state and taxpayers, etcetera. So thank you.

18 MR. MCKINNEY: Anybody else like to speak to this
19 topic? We have no -- no committee members on the phone?
20 Members of the public? Okay.

21 Let's move to our next category which is natural
22 gas fueling infrastructure. The staff recommendation is for
23 \$1.5 million.

24 And, Charles, correct me if I'm wrong, but I
25 believe the Investment Plan limits us to public

1 institutions, like school districts or municipalities?

2 MR. SMITH: I'm going to bring up the more precise
3 language. I think -- my memory is failing me. I think we
4 plan on prioritizing public entities. I don't necessarily
5 know whether we're categorically eliminated funding for
6 private though. Yeah. The funding may be prioritized for
7 the school districts and other public entities. But we're
8 open to considering other needs as identified.

9 MR. MCKINNEY: Are there committee members present
10 who would like to speak to this topic?

11 MR. CARMICHAEL: Tim Carmichael with the
12 California Natural Gas Vehicle Coalition. Just two
13 comments.

14 We are supportive of the amount and the framing
15 that Charles just covered. We're clear, especially based on
16 the connotation at the last couple of Advisory Group
17 meetings, the importance for CEC to put some money into this
18 category to help with refurbishment or new construction for
19 the public fleets that are running natural gas vehicles.
20 And there may be some good examples in the private sector
21 where private capital is not readily available, and the CEC
22 will determine that. We want to support that project.
23 Either it's a geographic issue or some other challenge.

24 The second comment is feeding -- going back to
25 something Jim said this morning about stations that have

1 been funded to date. I just wanted to note that clean
2 energy, which has the largest network in Southern California
3 and in Trillium which has one of the larger networks in the
4 state, maybe third or fourth largest, they are running --
5 they are selling renewable natural gas through their
6 stations, not every station in the state. But most of the
7 Southern California public access stations that they operate
8 are selling renewable natural gas, even though the pump says
9 natural gas. And it's one of the things, you know, benefits
10 or inherent benefits with natural gas and renewable natural
11 gas is you use the same infrastructure and move, you know,
12 or sell renewable natural gas through the same pump. And
13 that's what's happening.

14 And they have a number of private fleet -- both
15 companies have private fleet clients that have negotiated
16 arrangements to do -- to use renewable natural gas. But I
17 was referring to their public stations. Even if the
18 customers aren't fully aware, they're running renewable
19 natural gas in their vehicles.

20 MR. MCKINNEY: Do we have committee members, other
21 committee members present? Committee members on the phone?
22 Members of the public who wish to speak to this?

23 John Clements?

24 MR. CLEMENTS: Thank you, Jim. Thanks, Jim. I
25 just wanted to comment that I support, obviously, this

1 infrastructure. I'm very thankful for our community, City
2 of Reedley and Kings Canyon Unified in particular, in that
3 we just received \$300,000 this summer that we're
4 anticipating having a contract for very soon. It would be
5 nice to have those contracts come sooner. But on the other
6 hand of that, our Central Valley Transportation Center had
7 received some monies early on in this program. And we
8 appreciate having the opportunity to extend that encumbrance
9 because it's been hard to spend some of the funds.

10 But as I thought about this, our first natural gas
11 venture in Reedley, which is located in the center of the
12 San Joaquin Valley, which is on page 105 of that Cal Screen
13 EPA chart that just came out recently, which is in a very
14 impoverished area in some of the worst non-attainment area,
15 had we not received a grant in 1996 from the California
16 Energy Commission through AB 35 that initial station would
17 not have been built.

18 It was those first five natural gas buses that
19 came to our district, our school district, long before they
20 were Honda Civics and small- and light-duty trucks. And
21 today that station alone displaces nearly 100,000 gallons of
22 petroleum based fuel. And we're limping along, anticipating
23 that \$300,000 coming soon to keep that station open and
24 build a new dispenser.

25 But it's through the vision of a demonstration

1 program like that -- I mean, we tested methanol back in '93
2 for five years straight, and the advanced diesels that
3 reduced our emissions by half at that time, that our little
4 community today is successful. And now the City of Reedley
5 has three refuse trucks, and we have multiple small little
6 Honda Civics that are running back and forth with private
7 members going to teach college and different things like
8 that. So -- and we have our own light-duty. So thank you
9 for that infrastructure money.

10 MR. MCKINNEY: Thank you, John.

11 Any other members present or on the phone who want
12 to speak to natural gas infrastructure funding? Okay.

13 Why don't we turn now to the vehicle category.
14 And the first of these will be natural gas vehicle
15 incentives. The staff recommendation is \$9 million.
16 Committee comments?

17 MR. CARMICHAEL: Tim Carmichael with the
18 California Natural Gas Vehicle Coalition. A couple of
19 comments here.

20 One, we appreciate the Energy Commission support.
21 You are the state agency that supports natural gas
22 transportation in a significant way, and have for many
23 years. I want to caution this group, Jim and others, in not
24 counting our chickens before they're hatched. Jim made
25 comments this morning about, you know, it's the price of the

1 fuel is the price of the fuel, and I agree.

2 Even with that significant competitive advantage
3 we need to keep in mind how small a percentage of the
4 vehicles that are out there are actually running on natural
5 gas. And I don't want any of our fuels or technologies to
6 believe that we've beat petroleum or we've got to that
7 tipping point until we really have gotten there. You know,
8 one percent of trucks, heavy-duty trucks in the U.S. last
9 year were sold as natural gas, one percent. It was less
10 than that, obviously, for smaller-, medium- and light-duty.
11 I don't know what that magic number is, but it's not one
12 percent, and so we're not there yet.

13 My comment letter to you is going to say we think
14 \$12 million is a better number than \$9 million, and we're
15 going to make the case for that, you know, the point I just
16 made, the fact that there are near- and longer-term benefits
17 to natural gas transportation that you would be funding.
18 And accepting -- you know, many of you know that I've been a
19 strong advocate for the portfolio approach and have never
20 come to these meetings suggesting that natural gas should
21 get all or even half of the money. But we believe, I
22 believe personally and my members believe that \$9 million
23 isn't quite enough. And, you know, \$3 million is still a
24 lot of money. That's the difference between what you
25 approved last year and what you're proposing for this new

1 plan, just to clarify that. Thank you.

2 MR. MCKINNEY: All right. Thank you, Tim.

3 Other committee members?

4 MR. CARMICHAEL: Sorry, Jim, I had one more.

5 MR. MCKINNEY: Okay.

6 MR. CARMICHAEL: Because not everyone was there
7 last Thursday, we are extremely appreciative of the efforts
8 the staff and Commissioner Scott have made to get a
9 solicitation out on natural gas transportation, and very
10 enthusiastically, and looking forward to the proposals
11 coming in. We'll be submitting a comment letter focusing on
12 questions and suggestions later today on that. Thank you.

13 MR. MCKINNEY: So, Tim, if I could just ask you to
14 direct your appreciation to Andre and John and other members
15 of our team --

16 MR. CARMICHAEL: Indeed.

17 MR. MCKINNEY: -- who made that happen just
18 amazingly quick speed.

19 Other committee members? Committee members on the
20 phone?

21 DR. AYALA: Thank you, Jim. I just wanted to add
22 a piece of very relevant information. In the plan in your
23 Chapter 5 where you discuss natural gas vehicles, you made
24 reference to a potential optional low-NOx standard that the
25 board was going to approve. And I'm very pleased to report

1 that we actually made progress on that effort. We took a
2 staff recommendation to our board last December and the
3 board approved our recommendation. So as soon as that
4 formal process gets completed perhaps the CEC should
5 consider preferentially funding low-NOx compliant engines.
6 And we fully anticipate that the natural gas technology is
7 going to be indeed the one that is going to set the bar for
8 those very low emitting engines.

9 So I just wanted to share that point. And we'll
10 be submitting comments specifically to revise the
11 description in your plan.

12 MR. CARMICHAEL: Sorry, one more thing. Alberto's
13 comments remind me to mention that I actually spoke with
14 Charles this morning to let him know that we've -- part of
15 the comment letter will include four or five, you know,
16 changes like the one Alberto just mentioned that were either
17 out of date or there's a numbers difference between what we
18 believe to be accurate and what you've got in this draft.
19 So a few smaller items like that, we'll be submitting in
20 writing.

21 MR. MCKINNEY: Thank you. Great. Members of the
22 public?

23 Bill?

24 MR. VAN AMBURG: Sorry. When I show up at these
25 meetings, Jim, I just have to talk.

1 You know, I was listening to Tim. And I actually
2 would agree that I think we have this sense that we're
3 winning battles that we're just barely starting to have an
4 impact on through all the good work that's been done around
5 this table and elsewhere.

6 I was just at an LNG fuels conference. And
7 CALSTART had run the on-road sector of it. It is still not
8 a breakout market. There's still the upfront trucks of the
9 cost. There's still infrastructure shortages. It doesn't
10 mean that there isn't a great business case and people
11 aren't really interested. But I think it is wise to keep
12 our eye on that prize.

13 One of the things that we are recommending to ARB
14 and will be recommending to CEC, and I'll mention it a
15 little bit later, is around that low-NOx engine. I think
16 there's a tremendous ability to not -- to not let that one
17 lag. After it's been demonstrated or developed let's get
18 multiple versions of that on the road, validate it, and then
19 let's move it into our future vision of what we should be
20 incentivizing. I fully support that. CALSTART, actually,
21 fully supports that, and we'd like to see that. Because I
22 think that's part of our portfolio strategy that is kind of
23 critical here for the state.

24 MR. MCKINNEY: Great. Thank you, Bill.

25 Yeah, I'd just like to add and thank -- thank you,

1 Dr. Ayala, for reminding of us the low-NOx engine
2 development project, and that is another collaborative
3 project with South Coast AQMD. And as I understand it the
4 environmental performance of that engine, if you mix in 50
5 to 60 percent biogas into that, that you're approaching the
6 emissions profile of a ZEV truck -- of the ZEV truck. So
7 it's very impressive what can be done with some of these
8 technologies and getting down to .02 grams per horsepower,
9 if I have the numbers right, for a medium-duty and heavy-
10 duty truck is quite a phenomenal achievement. So we look
11 forward to that.

12 And again, with our portfolio approach it just
13 means another technology stream will then be available to
14 consumers and fleet operators as a choice when they're
15 evaluating kind of their next technology purchase for their
16 fleets.

17 Do we have any other members on the phone? Any
18 other members of the public want to speak to this?

19 MR. VAN AMBURG: Jim, if I may, there was just one
20 other point.

21 MR. MCKINNEY: This is Bill Van Amburg again.

22 MR. VAN AMBURG: One -- one other thing on the
23 incentive side. We've done an awful lot of work with fleets
24 over the last ten years, medium- and heavy-duty fleets, and
25 have done a lot of work then kind of trying to quantify what

1 moves them or makes it easier in the marketplace. And I
2 think a little more transparency would be something we would
3 recommend that you look at in your next round of incentives.
4 I think the voucher approach that a number of agencies, now
5 New York, Chicago, California has been a leader on the --
6 kind of the hybrid and electric side would be really useful
7 on the natural gas side.

8 There's a lot of natural gas fleets that I work
9 with who come to me and say, "Well, California doesn't have
10 incentives for natural gas."

11 And I said, "Well, yeah, they do. They've got
12 great incentives for natural gas."

13 They can't find it. It's not transparent what
14 dealer to go to. I really think something that's more of a
15 first come, first served transparent voucher program would
16 be something that we would really encourage because we think
17 we want fleets to have the most access and choice they can.

18 MR. MCKINNEY: Yeah, thank you, Bill. I think it
19 is first come, first served; correct?

20 MR. BUTLER: It is, yes.

21 MR. MCKINNEY: Okay. Yeah. So -- but in terms of
22 public awareness, outreach, yeah.

23 MR. VAN AMBURG: Visibility of how to do it.

24 MR. MCKINNEY: Excellent comment. Okay. I think
25 we've -- okay.

1 We have Frank Ziegler who would like to speak. Go
2 ahead, Mr. Ziegler.

3 (WebEx participant was inaudible and has not been
4 transcribed.)

5 MR. MCKINNEY: Please speak as loudly as you can.
6 We have a very faint connection here.

7 MR. ZIEGLER: I'm sorry. Is that better?

8 MR. MCKINNEY: Better. Louder would be even
9 better.

10 (WebEx participant was inaudible and has not been
11 transcribed.)

12 MR. MCKINNEY: Great. Thank you, Mr. Ziegler.

13 John Butler?

14 MR. BUTLER: Yes. I just wanted to clarify.
15 Thank you for those comments. Since most of those comments
16 seem to revolve around the active solicitation we encourage
17 you to make sure you submit your -- your comments in writing
18 as part of the questions and answers for that solicitation.
19 Thank you.

20 MR. MCKINNEY: We have a Mr. Roger Hussen
21 (phonetic) on the phone who would like to comment.

22 MR. HUSSEN: Yes. This is Roger Hussen with the
23 San Francisco Airport Commission. And really I want to --

24 MR. MCKINNEY: Sorry, Mr. Hussein, if you could --

25 MR. HUSSEN: -- express my appreciation --

1 MR. MCKINNEY: -- if I could just ask you to speak
2 as loudly as possible. We have a faint connection here. Go
3 ahead please.

4 MR. HUSSEN: I'll try to be a bit louder. Roger
5 Hussen with the San Francisco Airport Commission. I'd
6 really like to extend our appreciation to Staff for meeting
7 with us to discuss the desirability of a voucher program for
8 these incentives, which Bill and others have mentioned. We
9 think that would really be much more manageable than the
10 current process for our many commercial ground
11 transportation shuttle operators here at SFO and at other
12 airports. We certainly encourage that approach. And also,
13 you know, we support Tim's proposal to make (inaudible)
14 available, incentive funding available. You know, it should
15 be available at most times. And if possible it should be
16 necessary to push the year until the next solicitation.

17 COMMISSIONER SCOTT: Thank you for those comments.
18 We are working on -- we've heard lots of comments similar to
19 what Mr. Hussen was saying from the San Francisco Airport
20 Commission. And the staff is looking very hard at how to
21 improve the -- the natural gas program. We're not there
22 quite yet, but we hope to be soon. And so stay tuned. And
23 we have heard you. We are working on it. So stay tuned.
24 And please continue to give us these valuable comments.
25 It's important.

1 MR. MCKINNEY: Anybody else on the phone here?

2 Last call for comments on this category. Okay.

3 We're now going to turn to light-duty electric
4 vehicle deployment. And I think to kick off our discussion,
5 Dr. Ayala or Peter will make a brief presentation.

6 DR. AYALA: Yeah. Thank you for accommodating us.
7 What we wanted to do is prior to the -- to the meeting we
8 were passed along a number of questions from our colleagues
9 at CEC that -- that we thought would be of interest and is
10 informative to the committee. And the questions, as you can
11 imagine, center around our Plug-In Vehicle Rebate Project,
12 cap-and-trade proceeds, demand, supply, rebates, etcetera.

13 So what I thought, rather than just reciting a
14 bunch of numbers, we thought that perhaps we would structure
15 the presentation a little bit better and have just a brief
16 presentation by my ARB colleague, Peter Christensen, about
17 five minutes. Peter actually is the one that has direct
18 oversight over our AQIP program. So he's -- he's very well
19 equipped to go over in as much detail as -- as anybody
20 wishes into some of the numbers. But that's basically what
21 we wanted to do.

22 MR. CHRISTENSEN: Okay. So I'm Peter Christensen
23 from ARB, and I'm the one who's going to recite a bunch of
24 numbers for you today.

25 DR. AYALA: And show them.

1 MR. CHRISTENSEN: And show you. So just as a
2 quick -- let's go ahead and hit the next slide. Just as a
3 quick reminder about the projects that are funded through
4 the Air Quality Improvement Program at ARB, it includes:
5 The light-duty incentives through the Clean Vehicle Rebate
6 Project; heavy-duty truck incentives through the Hybrid and
7 Zero-Emission Truck and Bus Voucher Incentive Project, also
8 known as HVIP; advanced technology demonstration projects,
9 these have included projects in the locomotive, off-road,
10 and other sectors that I'll talk about in a second; and the
11 Truck Loan Assistance Program.

12 Next slide. So here's where we are so far, Clean
13 Vehicle Rebate Project. As of the end of last year about
14 45,000 clean cars, these are plug-in hybrids and electric
15 vehicles, in the last year at \$95 million. That's a pretty
16 significant success.

17 On the truck side, successes as well. Over 1,600
18 trucks in the last four years at about \$50 million. These
19 are hybrid and electric trucks, mostly in the medium --
20 medium-duty, medium- and heavy-duty sector.

21 Advanced technology demonstration projects, an
22 important part of AQIP and AB 118 at ARB. Not a huge
23 funding amount. But nonetheless, important projects
24 demonstrating pre-commercial technologies in the locomotive,
25 marine, school bus and off-road sector.

1
2 And then last but not least, Truck Loan Assistance
3 Program. This is helping the California trucking community
4 with access to cleaner trucks, helping to comply with the
5 truck and bus regulation. About let's say almost 4,000
6 loans issued at \$54 million in loan assistance, leveraging
7 about \$245 million in financing for California trucking
8 companies.

9 Next slide. I wanted to talk a little bit about
10 CVRP funding because I know that's at the top of a lot of
11 folks' minds. If you look at 2012-13, the demand for CVRP
12 rebates, clean car rebates, less than \$50 million. This
13 year, in 2013-14 there is a few different colors on that bar
14 chart there. And you can see that the demand this year,
15 we're now projecting to reach about \$90 million. That red
16 portion at the top of the bar is the \$30 million that
17 exceeds the staff expectation for what the funding demand
18 was going to be last year when we developed our funding
19 plan. So this does say that we're projecting a \$30 million
20 shortfall this year for the Clean Vehicle Rebate Project.

21 We are expecting that the available funding in the
22 program will last through about the middle of April. And at
23 that point we are making plans. In the event that there's
24 no additional funding that can be identified we are making
25 plans to suspend CVRP until additional funding becomes

1 avail, likely in the next fiscal year. So that plan,
2 obviously, is very important working with our stakeholder
3 community, with consumer groups, and especially dealerships,
4 and the manufacturers to make sure that we have clear
5 communication with all the folks involved, including
6 consumers, to minimize disruption on the market. And to the
7 extent that we can minimize confusion on the part of
8 consumers.

9 The other thing that's notable about this chart
10 that you see is that the projection for next year, 2014-15,
11 this is actually good news that the projected demand is so
12 high, above \$200 million. But clearly we don't have funding
13 to -- to meet that kind of a demand with our -- with our
14 existing revenues in the program. And even if you consider
15 cap-and-trade revenues, that hopefully will become available
16 next year, it still wouldn't be enough to meet that demand.
17 So we are expecting that changes to CVRP in terms of
18 eligibility are going to be necessary next year.

19 And that's an important part of, I think the next
20 slide, yes, the schedule for the development of our funding
21 plan. This month we have a series of workgroup meetings I
22 want to make sure everybody knows about. They actually
23 start this week on Wednesday. And I have a list that's with
24 me here. And for the folks that aren't in the room I'll
25 explain how to get access to all the meetings that are

1 coming up. We have five meetings already scheduled this
2 month, working group meetings to talk about specific issues
3 in the funding plan.

4 The first one is on Wednesday, February 12th.
5 That's our long-term planning meeting for the Air Quality
6 Improvement Program. And the second one I'll mention is
7 also this week, a workgroup meeting on Thursday, February
8 13th, specifically talking about the Clean Vehicle Rebate
9 Project. There's a number of other meetings as well.
10 Anybody who is interested in the specifics of those
11 meetings, the dates and times, please see me. I have a
12 couple of handouts here I can give you. And for folks that
13 are on the phone or on the internet, you can find those -- a
14 listing on our AQIP website on the ARB web page, arb.ca.gov.
15 You can probably get there by putting AQIP into your
16 favorite search engine as well.

17 But before I close, just a quick run through the
18 rest of the schedule. We're expecting our second public
19 workshop prior to adopting the plan in late March. And then
20 we'll release the draft plan in May. And that plan will be
21 taken to the board for adoption in June. And then we'll
22 start soliciting projects after that time.

23 So with that I'll close and I'll turn the mike
24 back over to Dr. Ayala.

25 DR. AYALA: Thank you, Peter.

1 So again, in addition to the numbers, you've seen
2 some initials which hopefully will -- will help drive the
3 message home a lot better, I'd like to say that we're
4 essentially -- a couple things.

5 On CVRPs specifically, we're victims of our own
6 success. And that is there is so much growing market demand
7 that we just don't seem to be able to keep up with
8 generating the supply in terms of funding to support the
9 rebates. And the program itself is at a crossroads where
10 we've been directed, as we have discussed previously at this
11 committee meeting, to consider what changes are reasonable
12 that could continue to support the market update, but at the
13 same time make the program a little more sustainable for the
14 long haul in terms of the financing stream that -- that is
15 going to continue to come into the program.

16 So that's what we're in the middle of. And we
17 very much welcome and look forward to the input and
18 participation from our colleagues, from CEC, as well as
19 anybody who's interested. It is in the public process. And
20 our board is going to consider that under a public meeting,
21 as well as plenty of opportunity to provide your ideas.

22 The last comment I'll make is -- I'll make is AQIP
23 itself. Thinking back in terms of the morning, the comments
24 that were made about benefits and cost and so forth, every
25 single project that we listed of the four has an either

1 direct or transformational benefit in terms of emission
2 reductions. So they are -- they are absolutely critical
3 elements in our efforts. And again, going back to Jim's
4 excellent presentation of the policy drivers, everything in
5 there has a direct link to getting us critically needed
6 criteria emission reductions and/or greenhouse gas emission
7 reductions, and to put us on a path so that we can get to
8 zero in the future as it is going to be needed.

9 So again, hopefully we captured all the
10 information that they were interested in. And I suppose we
11 can leave it open for questions or comments.

12 MR. MCKINNEY: Okay. Thank you very much Dr.
13 Ayala and Peter. And I just want to observe that it really
14 just speaks to the -- I think the caliber of our interagency
15 working relationship, that the two of you would travel down
16 to participate in our workshop, present this information.
17 And we're all curious about -- about it, about the potential
18 for cap-and-trade funding, what that looks like, the
19 incredible success but kind of undo demand on the -- on the
20 CVRP program or project. So thank you so much for -- for
21 taking the time to come down and present this information to
22 us.

23 With that I'd like to open it to the committee for
24 comments or discussion.

25 MR. BIENENFELD: Go ahead. No, no, no, please.

1 MR. MUI: I think I'm first.

2 MR. BIENENFELD: You've got the broken mike.

3 MR. MUI: All right, since I have the broken mike
4 here, Simon Mui with NRDC. You know, our organization
5 strongly supports continued incentive funding for the CVRP.
6 We do want to recognize the work that's going on right now,
7 I think, between the two agencies to really coordinate the
8 incentive fundings. And one of the things we do want to
9 flag as part of the Charge Ahead campaign, which includes
10 group like -- groups like American (inaudible), Coalition
11 for Clean Air, Communities for a Better Environment,
12 Greenlining, I'm missing several, Sierra Club.

13 You know, one of the focuses right now is around
14 making sure that they're -- we're advancing deployment, as
15 well, in disadvantaged communities. And I think some of the
16 provisions that are being looked at by the Air Board, by
17 other -- by other agencies, as well, including CEC, it's
18 important to remember that the -- a lot of the -- there's a
19 lot of things that can be done that go outside the -- the
20 normal box of just pure incentives to enhancing access to
21 electrical mobility. Some of those areas include things
22 like linking up the incentives with the EFMP, Enhanced Fleet
23 Modernization Project, where you're basically retiring
24 clunkers, heavily polluting clunkers, and looking for
25 replacement vehicles. There's no great linkages right now

1 between sort of the SVRP and the EFMP. But also I spoke
2 earlier about multi-use dwellings infrastructure that's
3 targeting multi-dwelling units, things like even supporting
4 lower income consumer financing for ZEV leases and community
5 car sharing programs, there are aspects that the Charge
6 Ahead California Coalition is looking at.

7 And, you know, just to echo some of the comments
8 made by -- by Tim and others about how long -- how -- how
9 far we've come but how long we have to go, you know, there's
10 been about 60,000 vehicles deployed in California thus far,
11 showing the enormous success of programs like the CVRP. But
12 I want folks to remind ourselves that there's over 30
13 million vehicles in California. And it is, right now, a
14 drop in the bucket. But, you know, for every 500 vehicles
15 out there there's -- there's one electrified vehicle. It's
16 a great start, but we do have a long way to go.

17 And I encourage continued coordination,
18 particularly as the discussions around both AQIP, you know,
19 the CEC's program and the governor's proposal around GHG
20 funds to really try to coordinate those, both the goals and
21 the objectives, as well as the program design elements.
22 Thank you.

23 MR. BIENENFELD: Robert Bienenfeld with Honda and
24 the California Fuel Cell Partnership. Of course, we support
25 this program. I think we just want to reiterate a couple

1 things. Fuel cell electric vehicles are electric vehicles
2 and should be considered in this program. And -- and we
3 hope that in the long term planning that you think -- think
4 of fuel cell vehicles when they are launched next year that
5 they get the incentive that was offered to electric vehicles
6 when they were first launched.

7 I think there's been a lot said about different
8 technologies being in different states of development. And
9 I think these early cars are at an initial stage where they
10 need that extra support that happened for electric vehicles
11 when they were launched. But overall I think we support
12 these programs rollout, as we have in the past. MR.

13 MCKINNEY: Thank you, Robert. Any other committee members
14 wish to speak to this subject? Any committee members on the
15 phone? Members of the public here?

16 MR. MUI: You get to use the broken mike.

17 MR. KEROS: We're friends; right?

18 Alex Keros of General Motors echoing a few
19 different comments here. First off, I think Tim and Simon
20 reminding us that while we certainly have a lot of momentum
21 in the PEV world, we do have a lot of work to do. And so
22 while we're certainly working close with ARB and other
23 stakeholders to design programs that continue to accelerate
24 the market in all parts of the market, I just want to make
25 two quick comments.

1 One, I think Robert's comment is a really valid
2 one about the introduction of fuel cell vehicles and the
3 importance of, you know, integrating that into our thinking
4 of how to build these incentive programs. But likewise, the
5 importance of the Energy Commission to stay involved in
6 this. It's -- it might be easy for people around this table
7 or the Energy Commission to say, well, those light-duty
8 vehicle programs are sort of the responsibility for -- for
9 another world, I think what's been really nice about what
10 California has offered up is really a cross-agency focus on
11 making sure that this industry, this market is moving
12 forward.

13 So we, GM, are really supportive of your continued
14 involvement in this. We really do like seeing that there is
15 a number in the investment plan. I think it helps tell the
16 world that you share some responsibility for making sure
17 that this works. We're really pleased to see the governor's
18 budget highlight, you know, from cap-and-trade proceeds \$200
19 million into this world. But this takes a village. The
20 village is going to probably have to change these programs
21 to make sure that we support the market. But really pleased
22 that the Energy Commission is still involved and engaged on
23 it. So thank you.

24 MR. MCKINNEY: I'll take this gentlemen here, and
25 then Alberto.

1 MR. SYDNEY: Thank you for the opportunity to
2 speak. My name is Russell Sydney. I'm with New Energy
3 Answers, and the Sustainable Transport Network. We are --
4 it's a network that includes a lot of electric vehicle
5 advocates, advocates for all forms of sustainable transport
6 and, most importantly, the people that we're actually trying
7 to have show up, meaning the people that are using these
8 vehicles. And I'd like to express my appreciation and
9 thanks on behalf of everybody for all the incentives that
10 are being provided.

11 I'd like to encourage that those incentives be
12 continued and possibly expanded. Because one of the things
13 that is missing from this is incentives for people that are
14 seriously challenged with their fuel bills and buying the
15 next vehicle to be included in that. There's a range of
16 vehicles that has not been given much attention to that we
17 call the local-use vehicles that have been successfully
18 proven to be an effective way to reduce vehicle mile travel
19 and to integrate people with income challenges into the mass
20 transit system. So I would encourage anything you can do to
21 help keep those in focus and make those available to the
22 people that need this sort of thing the most.

23 And part of what's involved with supporting all of
24 that, and my apologies for not being more timely in
25 discussing the infrastructure part of it, but if you'll

1 indulge me, I would like to encourage that the
2 infrastructure needs are challenged by the lack of
3 understanding of how important it is to locate the chargers
4 effectively. We're seeing a lot of money spent on chargers
5 that have very little chance of being used anytime soon.

6 We are also being challenged by the cost of the
7 fuel from the infrastructure development, particularly with
8 regards to DC Fast Chargers. The cost of the fuel is --
9 you know, fuel is sold by the gallon. Electricity is sold
10 by the kilowatt hour. And yet for some reason everybody
11 thinks that electric vehicles need to be charged by how much
12 time they spend sitting in a fueling station. And it just
13 doesn't make much sense. So charging by the kilowatt hour
14 would be a huge help and a big incentive for the people in
15 the community.

16 The other thing, being that there's a lot of money
17 being poured into technology, first of all, some of which is
18 challenged in terms of being able to use kilowatt hour
19 billing. And secondly, it's being poured into systems that
20 are requiring a network overhead that is increasing the cost
21 of the fuel to us end users. And the ability to charge for
22 fueling can be handled by many, many methods that do not
23 require network charging. So as Mr. McKinney pointed out,
24 the fuel costs are the issue, and those are some of the
25 things that are of concern to the people that are driving

1 these vehicles. Thank you so much for your attention.

2 MR. MCKINNEY: Great. Thank you, Mr. Sydney.

3 Alberto?

4 DR. AYALA: Yes. Thank you, Jim. I just wanted
5 to follow up on a couple of specific points that both Simon
6 and Robert made. Peter and I didn't go into a lot of the
7 detail for obvious reasons. But I think these are important
8 points just to make sure that it's clear to everyone.

9 First, on Simon's points, just want to reiterate
10 that everything that your coalition is working on is right
11 in line to some of the ideas that we are contemplating as
12 far as changes to the program. We -- we get that there --
13 there is very explicitly legislative interest in making sure
14 that our programs are -- are benefitting disadvantaged
15 communities. That is front and center in our process, our
16 analysis as far as perhaps potential changes to the program.

17 Fuel cell vehicles, point well take as well. We
18 are thinking along the lines of the program is making huge
19 progress but we're not -- not nearly where we need to be.
20 And here comes the next generation of zero-emission vehicles
21 as fuel cell vehicles. We need to think of a smarter way to
22 incentivize them the way that we did in the old days when we
23 first supported conventional hybrids, etcetera.

24 And then just to kind of frame it all, the last
25 point that Simon made, and the point is very well taken, we

1 are with you, we made a lot of progress. We're not even
2 close. And I think I can give you two statistics to sort of
3 drive that home -- that point home.

4 With the 60,000 vehicles that we have on the road,
5 that is roughly two percent, two-and-a-half percent of the
6 total market of new vehicles. In about 25 years we need to
7 be at 100 percent. So that's the challenge before us.

8 Thank you.

9 MR. MCKINNEY: Any other comments here from the
10 committee members? Committee members on the phone? Members
11 of the public present in the room? Matt Miyasato, you're
12 welcome.

13 Before you start, I just need to quick -- as a UC
14 alum I'm really glad you fixed the microphone at this point.

15 MR. MUI: Don't ask how many engineers it took.
16 It required an automaker providing tape.

17 DR. MIYASATO: Matt Miyasato, South Coast AQMD. I
18 just want to riff off of what Robert said, Dr. Ayala. One
19 hundred percent of the vehicles need to zero emissions in 20
20 to 25 years. And actually, we think that has to be sooner
21 for South Coast to meet our attainment date. So again,
22 it's -- it's a huge challenge and a critical challenge, and
23 I appreciate the Energy Commission helping us to -- to face
24 that.

25 MR. MCKINNEY: Okay. I think that does it for

1 comments in the room.

2 I want to turn to, on the phone, Steven Padliska
3 (phonetic), if I have your name right. Please proceed.
4 Speak loudly please. Okay. Mr. Padliska, forgive me. John
5 Shears, who is a formal member of our Advisory Committee,
6 had his hand raised before you. So I'm going to turn to Mr.
7 Shears.

8 Talk loudly, John.

9 (WebEx participant was inaudible and has not been
10 transcribed.)

11 MR. MCKINNEY: All right. Thanks very much, John.
12 And I'm glad you could join us this afternoon.

13 So, Darren, are we ready for Mr. Padliska?

14 Go ahead and proceed, Steven Padliska.

15 MR. PADLISKA: Thank you very much.

16 MR. MCKINNEY: And speak -- speak loudly please.

17 (WebEx participant was inaudible and has not been
18 transcribed.)

19 MR. MCKINNEY: I'm sorry, I'm not quite
20 understanding your -- your point there. But I would just
21 like to politely remind you that the point of this
22 discussion is the current Investment Plan offered by the
23 Energy Commission, the \$100 million Investment Plan. There
24 are obviously other programs and pieces of the state budget
25 that interact with this. So we're -- we're very welcome to

1 hear your comments on that. But please try to focus on
2 the -- the budget proposed by staff here.

3 (WebEx participant was inaudible and has not been
4 transcribed.)

5 MR. MCKINNEY: Great. It sounds like you're an
6 end user, and I'm very glad you're participating in our
7 event. As the ARB staff mentioned, they have a series of
8 workshops coming up as well. And that information is
9 available on the Air Resources Board website.

10 (WebEx participant was inaudible and has not been
11 transcribed.)

12 MR. MCKINNEY: Okay. Thank you for that
13 information.

14 MR. PADLISKA: Thank you too. Thank you for your
15 time.

16 MR. MCKINNEY: Great. Thank you very much.

17 Darren, do we have other members of the public on
18 the phone?

19 Oh, I'm sorry, did we get his affiliation? Do you
20 have that on the WebEx? Yeah.

21 And I want to do a time check here. We're coming
22 up on three o'clock. I know a lot of us have the 5:25 back
23 to Sacramento. So I just want -- we still have time for a
24 good discussion on these last couple of opportunities.

25 MR. SMITH: It's delayed.

1 DR. AYALA: We just gained half an hour.

2 MR. MCKINNEY: Well, I guess we have more time.

3 COMMISSIONER SCOTT: It's delayed.

4 MR. BIENENFELD: Don't count on the delay. Don't
5 bet on it.

6 (Colloquy Between Committee Members)

7 MR. MCKINNEY: So our next funding category is
8 medium- and heavy-duty advanced technology demonstrations.
9 So the staff recommendation is \$15 million. I know we've
10 had a lot of good discussion already on this. And we have
11 some slides from CALSTART, although, Bill, I've got to say,
12 I saw a lot more than ten minutes worth of material --

13 MR. VAN AMBURG: I was telling Charles that that
14 was --

15 MR. MCKINNEY: -- in that slide package.

16 MR. VAN AMBURG: -- that was really to screw with
17 you. There's -- that's all backup slides. I just wanted to
18 see you nervous.

19 MR. MCKINNEY: Yeah. Okay. Okay. So if it's
20 okay with you, Commissioner, perhaps we can start with that
21 presentation?

22 COMMISSIONER SCOTT: Sure.

23 MR. MCKINNEY: Okay. And I got your (inaudible).

24 MR. VAN AMBURG: Okay. Great. Thanks. And I
25 will try to make this brief and to the point. If we could

1 just go to the next slide.

2 I think there's -- clearly there's some critical
3 areas of need that the committee and the advisory group has
4 discussed that focus on medium- and heavy-duty vehicles.
5 And I -- and I think there are some real opportunities.
6 Clearly more money is needed in every category. Given the
7 amount of money that is available, what would be the ways of
8 figuring out your prime targets to really move the ball as
9 effectively as you can. We think there's accelerated
10 transit bus opportunities that parallels your future need in
11 goods' movement, heavy truck, because they're going to be
12 very similar draglines and power. And accelerated goods'
13 movement, particularly around what's going along in the I-
14 710 corridor right now. In fact, instead of calling it a
15 corridor it is certainly the zone of getting to zero
16 emission or near zero goods' movement.

17 If we go the next slide, we really are facing this
18 huge challenge in commercial vehicles. We're looking at the
19 equivalent of getting to 2010 standards to get to a 90
20 percent reduction over the next 18 years. It took 18 years
21 to get to 2010 standards. We're now trying to do the
22 similar drop on top of that. But added to that we're really
23 trying to reduce carbon 20 percent per decade at the same
24 time. So we have this tremendous urgency. But what we
25 don't have this time is the federal government aligned and

1 going the same direction when it comes to criteria
2 emissions. We don't have their assistance because the rest
3 of the country is not necessarily pushing that same way.
4 And I think that therefore it makes California's choices the
5 more critical, because we're carrying more of the weight
6 this time.

7 Next slide. So there's a couple of documents.
8 You know your own Investment Plan and the ARB vision, which
9 has certainly been a great guide. We've completed this
10 CalHEAT Transformation Roadmap in Technologies for Trucks,
11 but recently completed a report on zero-emission truck
12 commercialization, what will it take, particularly with the
13 focus on the 710 corridor, although not only limited to it,
14 to actually get to zero-emission goods' movement,
15 particularly in drayage trucks.

16 So if we can go to the next slide. CalHEAT had
17 three key recommendations. It had a lot of recommendations.
18 But in the shortest of short terms, really focusing on
19 doubling down, if you want to call it that, on zero-emission
20 goods' movement, and really doing demonstration projects
21 that enabled leading to commercialized platforms becoming
22 viable by 2019-2020 is critical. And we need to get out of
23 prototype and move through the commercialization build
24 process. And this is for more of the heavy vehicle.

25 Next slide. We also can't take our eye off what's

1 needed in the Central Valley, and those are different
2 solutions than South Coast or the Bay Area necessarily would
3 need. And we really need to look at how to target the line-
4 haul truck, the pass-through truck, as well as the regional
5 heavy trucks that do business there. They have a really
6 difficult problem. But I think with what's going on with
7 the low-NOx natural gas engine, other optimized engines, and
8 maybe some advanced heavier vehicles and aerodynamics there
9 can be some impacts. But I think you need to remain very
10 open to that.

11 Next slide. And then really continue to push
12 through the enabling technology. I was really glad to see
13 the addition of language around enabling technology in this
14 category. I think that's a really wise choice by Staff. We
15 would very much support and echo that.

16 I just got back from some meetings with the U.S.
17 Army out of their Tank Automotive Research Command. They
18 are facing similar things. They're looking at electrified
19 tactical wield (phonetic) vehicles, electrified combat
20 vehicles in the future. There are some core enabling
21 technologies that aren't there. And power electronics,
22 electrified pumps, HVAC systems, and other things that will
23 make these heavier vehicles more capable, as well as more
24 efficient conventional vehicles.

25 Next slide. So we think there are some critical

1 demos that are very much needed that could be a real target
2 for your dollars, which are good dollars but certainly
3 limited dollars. I think the zero-emission, drayage,
4 commercial path demos moving from prototypes up to 5s and
5 10s in the near term, and moving then to 20s and 50s out
6 towards the 2017 timeframe is -- is critical. There's
7 several architectures, some specific architectures that
8 really have shown promise to be viable. Natural gas
9 extended range electric vehicles or fuel cell extended range
10 electrics look very promising. Battery electric vehicles,
11 although expensive, we can see a capability set there for
12 certain applications. And then plug-in or dual-mode
13 hybrids. So those are critical, but I think there's also
14 some enabling tech or complimentary and zero-emission yard
15 hostlers or terminal tractors and those types of
16 technologies.

17 And then, and I mentioned this in the
18 infrastructure piece, we do need to develop infrastructure
19 support, whether it's in roadway or high power fast charging
20 or other capabilities that are more geared to transit bus
21 and truck applications than light-duty car.

22 Next slide. This very busy chart just shows a
23 four-stage process it will take to get to 10,000 zero-
24 emission trucks on the road just within the South Coast
25 region for drayage goods' movement. And there's a variety

1 of things that need to be done. But what I just outlined to
2 you is when it comes to the tech demonstrations that will
3 lead to those future products, that's one of them. We have
4 talked to ARB, also, about the need to support vehicles
5 currently in the marketplace in the vocational size range,
6 like I saw Commissioner Scott driving not too fast earlier
7 today.

8 We need to really extend our use in environmental
9 justice in disadvantaged communities. We think that could
10 build supply change. It can build infrastructure knowledge
11 and network. And it can develop some comfort and visibility
12 for those technologies as we move towards the heavier
13 platforms.

14 Next slide. That's a nice circle. We'll go one
15 more. I mentioned this already in zero-emission bus. We do
16 think while they're not the same packaging they're often the
17 same power capabilities and needs. When you look at a
18 transit bus it's often using roughly the same engine that
19 you'd also see in -- in a day cab Class 8 or in a drayage
20 truck Class 8. You're going to see the balance of plan, the
21 energy storage, a variety of power electronics being very
22 similar. And so this is actually a very supportive parallel
23 path that at least you need to be open -- and the Energy
24 Commission has funded in the past. It's been a very wise
25 investment. I think this is something where an overlap with

1 the ARB and the air districts would be very helpful on
2 funding.

3 Next slide. And this is just -- these are some of
4 the technologies. The top one the Energy Commission did
5 fund and get on the road.

6 Next slide. When it comes to line haul, a more
7 difficult problem. We do think that really building as
8 quickly as possible off of this demonstration program for
9 the low-NOx engine, and then getting a large number of those
10 engines out on the road then in demonstration validation as
11 soon as possible, particularly in the San Joaquin Valley,
12 although in South Coast, as well, would be good, to really
13 push that technology forward, get experience with it so that
14 it can be moved right into an incentive program sometime in
15 the 2017 timeframe would be very useful.

16 I think also looking at other opportunities for
17 low-NOx engines in line haul or regional Class 8, whether
18 that could be something like the Achates engine, it can get
19 into DME, there's some real potential in dimethyl ether,
20 also looking at these other things that can get a heavier
21 engine to that low-NOX. And then demonstrations of things
22 like the longer, heavier trucks, really validating that
23 there is a NOx reduction together with the carbon reduction.
24 This is in dispute, but it's certainly being looked at in
25 some test in Sweden and in Europe. Platooning, and how that

1 can help both with reducing carbon and fuel use, as well as
2 potentially grams per mile of criteria emissions. And then
3 there's some other technologies that fall into that category
4 which I think AB 8 down the road really authorizes you to
5 look at.

6 Next slide. I also think CEC staff does an
7 incredible job. But I think you're -- you're very
8 overworked and overwhelmed quite often. It's really tough
9 to keep up. You have a tremendous portfolio that you're
10 trying to support. So I think some additional technical
11 support to help you pull together and focus on the right
12 projects answer some of the questions I heard around the
13 advisory panel a bit today. But really serving as that
14 technical validation with industry, really looking at
15 pathway assessment, stakeholder coordination, I think could
16 be a valuable role to augment your good staff.

17 Next slide. I think we've mentioned this, so
18 we'll just go one more on, just one last point. I meant to
19 mention this during infrastructure. But it's very much
20 aligned with the medium- and heavy-duty strategy, and that
21 is particularly around moving out these vocational e-trucks.
22 One of the biggest challenges in that space, besides the
23 upfront cost of the vehicle, is the infrastructure. And
24 it's not just the EVSE, because that's relatively cheap.
25 It's actually having to break the concrete, run the conduit

1 out, upgrade the facilities, a variety of other costs. It
2 can be on a per vehicle basis anywhere from \$7,500 to
3 \$20,000 per vehicle.

4 I think this is where the Energy Commission and
5 the ARB could have a great partnership. You did it before
6 to help them move out the first round of electric trucks.
7 It may be that adding some bundling or plus-up for
8 infrastructure on top of an incentive for an e-truck could
9 be a really valuable partnership together and make the best
10 use of both your funds. So that would just be our
11 suggestions.

12 MR. MCKINNEY: All right. Thanks very much, Bill.
13 That was very informative. Okay.

14 Why don't we turn now to committee discussion in
15 this funding category.

16 Alberto?

17 DR. AYALA: So what I wanted to do is maybe just
18 add a couple points to -- to Bill's discussion, kind of put
19 it in context. Because to me this is another example of why
20 it makes sense to -- to have the agencies coordinating very
21 closely.

22 To the points that Bill made, clearly investment,
23 smart investment in the technology that we're going to need
24 is absolutely essential. And it can be even more critical
25 when that investment leverages some of the policies that we

1 as an agency, we as a state can put in place. For example,
2 we talked about low-NOx standards earlier. And Dr. Miyasato
3 is right on point; he wanted to deliver somber -- more
4 somber news than I did. Not only is the challenge huge, but
5 the more and more we learn about what needs to be done the
6 more we discover that it needs to be sooner rather than
7 later.

8 So my industry friends hate when they hear me say
9 this, but it is likely that the next evolution of a lox-NOx
10 standard -- optional standard is going to have to be a
11 mandatory standard. Bill talked about and very much
12 appreciated the work that you've done in the heavy-duty
13 sector. Those -- the research and findings that you're
14 publishing has become extremely informative and critical for
15 us. We're also contemplating working with the federal
16 government on the next phase of efficiency standards for
17 trucks, as some of you who walked the State of the Union,
18 the president pointed to.

19 So all I'm saying is as -- as we move the policy,
20 the regulatory policy, in parallel it's going to be
21 important to also align the investment so that the two are
22 pushing in the direction that we all want it to go.

23 MR. MCKINNEY: Thank you, Dr. Ayala.

24 Any other committee member comments?

25 MR. MUI: Simon Mui with NRDC. I just wanted to

1 echo some of the comments that both Bill with CALSTART and
2 Alberto spoke about. I have -- you know, even though the
3 challenges are very great in terms of meeting higher quality
4 standards, there are solutions out there. And that's the
5 great thing is that part of these funds, right, in terms of
6 the advanced medium- and heavy-duty are about getting to the
7 next generation of technologies, really beyond the R and D
8 into deployment. And I think the growth here is about
9 getting to wider -- wider -- instead singles and tens but to
10 hundreds over the next several years.

11 I did want to share a report. I only have four
12 copies, unfortunately, to share in terms of an executive
13 summary. This -- this report here, which I'm showing, is
14 called the California -- is performed by the California
15 Cleaner Freight Coalition, which NRDC is part of. But it
16 includes 20 groups, over 20 groups, both in the
17 environmental justice community and the public health green
18 groups that have an interest in reducing air pollution. And
19 one of the things identified in the report are -- are the
20 sets of technologies, not just -- it takes a broad look at
21 both local -- I guess some of the drayage trucks that Bill
22 mentioned would fall into that -- local haul, but also the
23 regional strategies, and then sort of statewide kind of
24 freight movement, you know, that's interstate movement. And
25 it -- what it does is it looks at the technologies available

1 to reduce really both GHG, NOx, particulate matter. But
2 this is very much I think this funding category in keeping
3 with both the goals around getting to meet our air quality
4 goals, as well as what the air districts and ARB put out in
5 terms of the vision -- vision for 2050.

6 And one of the things I do want to -- so I'll
7 share these with you. There is a fuller report that --
8 there should be a link to the report.

9 But we definitely support this category. We want
10 to see it grow in terms of going beyond just -- just single
11 kind of deployments into tens and hundreds of vehicles going
12 forward. There's a big need in terms of reducing emissions
13 from our freight sector, as everyone knows, and looking for
14 ways to both support CEC's efforts around this, as well as
15 provide information as needed. Thank you.

16 MR. MCKINNEY: Thank you.

17 MR. SMITH: Simon, could you either send the
18 executive summary or the full report to our docket also?

19 MR. MUI: Yes. I will send it in, along with
20 our -- our comments.

21 MR. SMITH: Great.

22 MR. MUI: Ty.

23 MR. SMITH: Thank you.

24 MR. MCKINNEY: I'll take one of those now.

25 Other committee members want to speak to this

1 funding category?

2 I want to recognize Catherine Dunwoody from the
3 Fuel Cell Partnership on the phone. And you have to really
4 speak loudly, Catherine.

5 (WebEx participant was inaudible and has not been
6 transcribed.)

7 MR. MCKINNEY: Great. Thank you very much,
8 Catherine. Yeah. And I've heard rumors about the fuel cell
9 truck roadmap work, so I'm very interested to learn more
10 about that.

11 Do we have other members of the public there, or
12 committee members, members of the public here?

13 MR. CLEMENTS: I'll speak.

14 MR. MCKINNEY: John, and then Matt.

15 MR. CLEMENTS: John Clements. I'll say that
16 again. John Clements, school bus advocate, I guess you'd
17 call me.

18 Bill, I was disappointed there was no school buses
19 there.

20 MR. VAN AMBURG: I've got to get a picture of a
21 good one.

22 MR. CLEMENTS: Okay.

23 MR. VAN AMBURG: You just gave me one today.

24 MR. CLEMENTS: Yeah. So I'll pass -- I'll pass
25 these out. These are --

1 MR. MCKINNEY: And just use his tie just to --

2 MR. CLEMENTS: Yeah. Well, these -- these are the
3 electric school bus as part of the AQIP project. Okay.
4 It's going to be shown this week, Lord willing, and it gets
5 out of the paint shop for some minor flaws Friday at South
6 Coast Air District.

7 What I wanted to mention was earlier I commented
8 about AB 35 which was the Clean Air CNG Alternative Fuels
9 Safe School Bus Demonstration project that ran for over 15
10 years that was fuel neutral. And with the possibility of
11 200,000 -- or, no, let's rephrase that -- 200 million
12 correct in cap-and-trade funds that are over at ARB, why not
13 do a pilot project that would incorporate some these funds
14 that would touch the rural and impoverished communities.
15 Because nearly one-quarter of the buses in AB 35, which was
16 somewhere, 400, if I recall, or 500 school buses over the
17 course of 15 years, actually touched those rural
18 communities.

19 And it puts it in communities where -- you know,
20 initially when we first received natural gas buses back in
21 the mid-'90s natural gas wasn't accepted by the local rural
22 farmer. But when he saw the John Deere engine in the back
23 of a yellow school bus he goes, oh, my gosh, this is the
24 same engine I've got in a tractor but it's running on
25 natural gas. And it was much more accepted.

1 And so I just throw that out for a what if, to
2 plant the seed, take some of those funds that are going to
3 be hard to reach the rural community, make a school bus
4 pilot program similar to the successful you already had
5 before, work that along the lines of your emerging
6 opportunities, and even your manufacturing. Because even
7 with this one electric school bus that will become probably
8 four, five or six when we're done, it takes the numbers to
9 get that manufacturing going.

10 I mean, we're -- we're building an electric EVI
11 warehouse truck on our own using federal funds and some HVIP
12 funds to deliver school lunches. When the local farmer that
13 goes to the farmers' market or runs his produce to Fresno in
14 a bobtail truck sees that school district EVI truck, you
15 know, that's zero-emissions running successfully daily
16 delivering lunches and breakfasts to our impoverished
17 schools he's going to go, wow, how do I get one of those,
18 and then there may be some further interest.

19 But I just throw that out there. There's still a
20 demand. We have to meet the truck and bus rule. We've got
21 15 buses out of 70 that aren't meeting that now. And this
22 could be a means that through a partnership, and I know you
23 have good relationships with ARB that maybe we take some of
24 those cap-and-trade dollars and we can extend those to the
25 school bus industry and get them to -- to build some cleaner

1 buses. The -- the large bus manufacturers do not have an
2 interest, most of them at this time, in an electric bus
3 unless there were the numbers. And that's why they built
4 the CNGs and they built methanols, and they did build a few
5 electrics back in the '90s, but the technology is there.
6 And the technology that then would be used in those school
7 buses is easily transferrable to the mid- and the large-
8 sized markets for other products. Thank you.

9 MR. MCKINNEY: Matt Miyasato. Matt Miyasato.

10 DR. MIYASATO: Thanks, Jim. So Matthew Miyasato,
11 South Coast AQMD. Just a few brief comments.

12 I want to thank the Energy Commission for the work
13 that we're doing together in the sector. I applaud Staff's
14 recommendation for \$15 million. As mentioned previously,
15 this is a critical sector for us to -- in order for us to
16 attain our clean air goals.

17 What I would urge the commission to do, however,
18 is really focus on two words, goods' movement. I think of
19 the projects that you've -- you've funded previously, they
20 were kind of across the whole spectrum of medium and heavy
21 duty. And I would really urge you to focus on goods'
22 movement in this upcoming year because, as Dr. Ayala
23 mentioned and Simon mentioned, the need in that sector is
24 critical. I think in your -- your Investment Plan you've
25 outlined some key projects that we're working together on.

1 But if you look at your overall portfolio I think that that
2 percentage it actually pretty small for the Class 8 heavy-
3 duty in terms of the overall spending.

4 So I'd really, really encourage you to focus on
5 these near zero-emission technologies for the duty cycles
6 that affect goods' movement.

7 MR. MCKINNEY: Thanks, Matt. And just to clarify,
8 so when you talk about goods' movements, so you're talking
9 about Class A trucks and not the itty-bitty package
10 delivery?

11 DR. MIYASATO: Yes. So really moving containers
12 into and out of the ports.

13 MR. MCKINNEY: Thank you.

14 DR. MIYASATO: And one last comment. If you're
15 entertaining the idea of having another meeting in the South
16 Coast we'd be happy to host you at the Diamond Bar facility.
17 We'll have cookies in the afternoon.

18 COMMISSIONER SCOTT: Sold.

19 MR. MUI: All in favor?

20 MR. MCKINNEY: Okay. Carter, did you want to
21 speak?

22 MR. BROWN: Yeah. Likewise, if you want to do a
23 southern meeting you can come up to our facility in
24 Chatsworth and we'll have coffee in the afternoon. Let's
25 see, I would -- there are two things.

1 One, whichever way you go with the medium- and
2 heavy-duty with this specific vehicle technology, the
3 demonstration, I think it's very important to bear in mind
4 that you have a California-centric -- California-centric
5 path to commercialization. If you're going to do 1 or 2 or
6 5 or 12 or 20 demonstration vehicles, that you've got a
7 corporation, preferably, that's actually based in California
8 that sees the writing on the wall and is not, you know, an
9 East Coast corporation that comes out to California once in
10 a while, but is a California-centric path to
11 commercialization. And that way whoever is developing the
12 prototypes, whoever is doing the demonstrations also has the
13 commercialization partner to take this project out of the
14 realm of CEC funding and into the realm of purchase orders
15 with bank financing. I think that's incredibly important to
16 have that pact.

17 Secondly, within the medium-duty I know CEC, and
18 through CALSTART who had the Plug-In 2013 Conference, go
19 through a demonstration in analyzing electric vehicles and
20 electric delivery vehicles. And having the two companies
21 that deployed those vehicles, the two OEMs, one of which was
22 a major Midwest manufacturer, pulled the plug on their EV
23 truck program. The other is an EV truck company that's
24 barely breathing anymore. So -- and her conclusions were
25 because the trucks were not being used close to their

1 optimum range that they weren't being used in an
2 economically viable manner.

3 So to counteract those results you've actually got
4 to have an OEM whose trucks are being used very close the
5 maximum range or even with range extenders passed the
6 maximum range so that the end user, the end delivery
7 company, whether it's linens, packages or whatever, can get
8 the maximum economic viability.

9 So I guess what I'm saying is the -- the previous
10 demonstration was -- came up with results that are not going
11 to encourage major corporations to deploy this economically.
12 And therefore that ought to be looked at as actually almost
13 a redo, so that you can figure out how to deploy them in an
14 economically viable fashion for the end customer. Because
15 if the economics aren't there for the end customer, you
16 know, we're not going to get to our goals. Thank you.

17 MR. MCKINNEY: Thank you very much. Alberto?

18 DR. AYALA: Just a real quick point. Staying with
19 the theme of benefits, the point that Dr. Miyasato just made
20 is right on target. And it occurred to me that you can
21 actually use the work out of the CalHEAT project that
22 recently put into perspective the contribution in terms of
23 emissions, both criteria and greenhouse gases, from the
24 different medium- and heavy-duty sector category. So again,
25 same point to what -- what Matt said, Class 8 out of that

1 work comes out to be that priority area. So you could use
2 that for your funding plans.

3 MR. MCKINNEY: Okay. Thank you. And along those
4 lines -- sorry. We just had a quick question from Catherine
5 Dunwoody online. She -- I think she wanted to know which
6 report you were referring to, Carter?

7 MR. BROWN: Yeah. At the Plug-In 2013 Conference
8 this past October, down in San Diego, Yaslin Tolomak
9 (phonetic) from CALSTART presented her findings of the
10 medium-duty delivery truck routes. And she presented that
11 in a PowerPoint presentation at 2013. And I don't know
12 exactly the name of that presentation.

13 MR. MCKINNEY: Other comments from committee
14 members here or members of the public? Members on the
15 phone? Okay. And just to follow up on what both Dr. Ayala
16 and Dr. Miyasato said, for our current amount of money we're
17 just starting kind of staff-level, you know, discussions on
18 what the next PON (phonetic) should look like, and that's
19 something just getting underway. So these comments and
20 inputs are very, very helpful. So thank you for that.
21 Okay.

22 Why don't we then go the last part of the funding
23 categories, so emerging opportunities the staff
24 recommendation is \$7 million.

25 Charles, is there anything you want to add to

1 that, or start it from here? Start it from here. Okay.

2 Any committee comments on this funding category?

3 MR. MUI: I just had a question about -- Simon Mui
4 with NRDC. I just had a question about the -- the project
5 for the catenary (phonetic) -- the hybrid trucks for the
6 catenary one, certainly a very important area for the 710
7 corridor.

8 I'm just wondering, logistically is that not
9 considered part of the medium- and heavy-duty advanced
10 vehicle technology, or was it different enough to separate
11 it out?

12 MR. SMITH: So we -- we did fund it out of this
13 emerging opportunities category. But when we track projects
14 we do track it as a medium- and heavy-duty truck
15 demonstration type project. And part of the -- yeah. So
16 that answers that question.

17 MR. MCKINNEY: Are there any other -- let's see,
18 do we have committee comments in the room? Committee
19 comments online? Do we have public comment from the room?
20 Public comment online? Okay.

21 Why don't we go to the manufacturing line item.
22 The staff recommendation is \$5 million. Any discussion from
23 committee members?

24 MR. CARMICHAEL: I like this category. I'm glad
25 somebody, maybe Jim or Charles, mentioned earlier that only

1 EV components have been funded to date. That wasn't -- it's
2 not limited to -- this category isn't limited to that scope,
3 and we appreciate that. And I know that there are some
4 ideas floating around about some NGB and other potential
5 manufacturing proposals. So it's an important piece of this
6 puzzle.

7 MR. MCKINNEY: Other committee member comments on
8 this one? Dr. Ayala?

9 DR. AYALA: Yeah. I guess the only -- the only
10 thing I'll add is looking at the specific -- the table that
11 you included, table 14, to consider the comments that you've
12 heard today, in the table you're proposing, light-duty and
13 heavy-duty funding splits, consider the comments today, the
14 emphasis on the need for looking to the heavy-duty sector.
15 So anything that you can -- you can do, both on the
16 manufacturing side of that, as well.

17 MR. MCKINNEY: I think that's a good comment. And
18 just a friendly reminder, back to the comments I had on the
19 benefits' slides, so there was a lot of future benefit from
20 just really a handful of companies and investments in this
21 particular sector.

22 Do we have anybody online? Anybody else in here?

23 MR. BROWN: We've looked at manufacturing, taking
24 our aluminum honeycomb and taking -- making an entire
25 tractor-trailer out of that, just on the trailer side, and

1 putting a giant battery pack under it, probably something
2 like 400 kilowatt hours. You know, it's doable. It's
3 incredibly expensive. And, yeah, there needs to be R and D
4 funding there to take that to market. And it's not really
5 even taking it to manufacturing. It might fall under there,
6 but it's really R and D. Because nobody is making electric
7 semis right now.

8 MR. MCKINNEY: So I just want to say, I got to
9 drive the -- the motor electric truck around campus at
10 lunchtime. And I may have taken it further than you did,
11 Commissioner. Carter said, "Put your foot on the gas pedal,
12 Mr. McKinney and punch it." And that little puppy really
13 gets up and goes. And I think it's due to the framing, the
14 aluminum framing the light weight that you've done on it.
15 So it's really, really interesting, and it was a fun way to
16 spend my lunch break.

17 COMMISSIONER SCOTT: I'd say that.

18 MR. MCKINNEY: Yeah. Okay. Our final category
19 for today is workforce training and development. So
20 we're -- Staff recommendation is \$2.5 million. And
21 unfortunately this is not a category that I think we spent
22 enough time on discussing, A, because it's at the end of our
23 thing -- our list here, but this is just a critical part of
24 the mosaic or the puzzle and getting all these pieces to
25 work together in getting technology and customers and people

1 to know how to service, maintain and assembly these types of
2 advanced technology vehicles.

3 Do we have any committee member comment on this?

4 DR. AYALA: Yeah. I totally agree with that. I
5 think part -- for whatever reason we get to this part, and
6 it's so critically important. We just don't do it justice.
7 And I was going to ask, and perhaps this is food for -- for
8 thought for the next meeting, but it would be really nice
9 for the committee to hear from you, the staff, in terms of
10 what is the approach to calculate the cost -- the benefit-
11 cost for this category? And what are the thoughts, what are
12 your perspective -- perspectives in terms of how is the
13 program going? I mean, is it really impacting? What are we
14 hearing from -- from the students that are actually
15 benefitting from the finding? It would be really useful, I
16 think, for the committee to hear back. And certainly I
17 would propose and support putting this at the top of the
18 agenda so that we can actually get to it.

19 COMMISSIONER SCOTT: That's a really nice idea. I
20 will just -- Alberto, I did get to go out to the Santa Clara
21 Valley Transit Authority. And -- so it's an anecdotal
22 story. But it was -- it was -- and that one is really neat
23 because they've got a bunch of different types of buses, but
24 they also have a light rail. And they're using the money to
25 help folks learn how to run the -- the hybrid buses that

1 they have and some of the natural gas buses that they have,
2 but also to be able to make the transition from working on
3 the buses to working on the light rails. And the -- the
4 folks that we talked to who had been able to take advantage
5 of that training were really excited that -- otherwise it
6 would have been harder for them to get that type of
7 opportunity.

8 But I'd love to go see some more of those. And I
9 like the idea of how can we pull together some additional
10 stories and really talk about that, and also talk about the
11 cost benefits.

12 MR. MUI: Yeah. I just wanted to support moving
13 that maybe to the -- the agenda the next time around. And I
14 can see folks are eager to catch their flights. But, you
15 know, we -- I've spent some time working with our -- through
16 our BlueGreen Alliance with a number of national labor
17 organizations. And I just want to flag that if it is
18 something that you want to have greater input on, maybe
19 reaching out to some of the folks who do this for -- do a
20 lot of training and development and have experience there
21 can kind of help -- help provide some information about some
22 areas to target perhaps. Thank you.

23 MR. MCKINNEY: Yeah. Thank you. Yeah, we would
24 like to learn more about that, Simon.

25 Any other comments from committee members from the

1 phone?

2 COMMISSIONER SCOTT: Yeah. I just had -- I had a
3 summary when we've completed all the public comments.

4 MR. MCKINNEY: Yeah. So any -- any other comments
5 or last remarks before I turn it back to Commissioner Scott
6 for her closing remarks?

7 DR. AYALA: Just -- sorry I didn't say that at the
8 top of the meeting. I really want to thank you, Jim in
9 particular and your team, and Commissioner Scott, the entire
10 CEC team. It's so gratifying to see the quality of work and
11 effort that goes into the plan. And, I mean, the
12 discussion, the interaction with the agencies, the ability
13 that we have to interact with you to provide comments, so I
14 just want to say what a gratifying experience it is to work
15 with you.

16 And, you know, we stand ready to do whatever we
17 can to strengthen that collaboration and relationship so
18 that we can make, perhaps, part of your job a little easier.
19 Because somebody mentioned it earlier, I know that you guys
20 are putting in a tremendous amount of work and energy. And
21 just you need to hear that it goes into -- it's very much
22 appreciated because it's so critically important to what
23 we're trying to do.

24 COMMISSIONER SCOTT: Okay. Great. Well, let me
25 give a few sort of overarching -- or a summary of some of

1 the overarching themes that I heard today. You know, maybe
2 I'll start with the overarching goals that we have in terms
3 of climate and clean air and the challenges that we have.
4 Jim flagged it in his presentation. Both Matt and Alberto
5 mentioned the 90 percent reduction in NOx that we will need
6 by 2023 and needing all the vehicles on the road to be zero-
7 emission vehicles. And depending on which one of you --
8 which one of them you ask it depends on how fast we need
9 that transition to happen.

10 We talked about connecting the awards and
11 activities of this program and their benefits to -- back to
12 those goals, and trying to do that in a more concrete way.
13 And, you know, what are the expected reductions from the
14 investment made? How do we better articulate that? Where
15 do we articulate that? How do we, at the Energy Commission,
16 take some time and really flesh that out, put the specific
17 goals with each category? How do we make sure that programs
18 that are complimentary, whether they're Air Quality
19 Management District programs, they're Resources Board
20 programs, Energy Commission programs, are complimentary and
21 that they're highlighted so that we're kind of capturing the
22 broader context and the big picture there.

23 We talked a little bit about some of the tipping
24 points that we see for these fuels and technologies. And we
25 talked about not counting our chickens before they hatch,

1 which I think was important for all of us to think about.

2 We're right at the beginning of this important

3 transformation.

4 We talked about the transformative impacts of
5 investments, the importance of making sure that everybody
6 could take advantage of these programs or feel the benefits
7 from these programs, disadvantaged communities, lower-income
8 communities. We talked a little bit about the commitment
9 that I'd like to make which is similar -- or that I have
10 made -- that's similar to the chair's on Epic in terms of
11 outreach to minority- and women-owned business and disabled
12 veterans, to making sure that we're targeting geographic
13 regions of the state as appropriate, and to do a better job
14 of tracking that. And so we're going to be working closely
15 with the Epic team so that we're not recreating each other's
16 wheels and put that information and data together.

17 We talked about the importance of the
18 infrastructure for the light-duty side. But that
19 infrastructure for the light-duty side is not the same thing
20 as infrastructure for medium- and heavy-duty, and that we
21 really need to focus on that as well. Both are needed.
22 Goods' movement, freight movement is all important.

23 One of the things that I wanted to let you all
24 know, the chair mentioned this in our January business
25 meeting, I am going to be the lead on the 2014 IPR. It is

1 going to have a transportation focus. The scoping order is
2 coming out sometime soon, so you should keep an eye on that.
3 I would very much appreciate your thoughts and input on the
4 types of discussions we should have, some of which I think
5 are things that we touched on today but didn't really have
6 time to dig into. Those could make really interesting
7 potential IPR workshops. So once that scoping -- keep an
8 eye out for that scoping order. I don't quite know exactly
9 when it's coming but -- and it will be transportation
10 focused. So I'll very much look forward to your -- your
11 input on that.

12 And then I just wanted to say thank you to all of
13 you for your partnership and your expertise. I really do
14 appreciate your constructive input, your valuable input
15 here. And I think, you know, Robert, you mentioned some
16 updates to the fuel cell numbers. Tim mentioned some
17 updates to natural gas numbers. Simon, you flagged your
18 report. And others who have data and information, please be
19 sure to get that to us on the record. It is valuable. We
20 do use it. And so don't -- don't forget to send that to us.
21 We'll be -- we'll be looking for that.

22 And I also wanted to thank you for your
23 recognition of the good hard work that the Energy Commission
24 staff does on this program, all day, every day. I think you
25 can see their diligence and their care. And I appreciate

1 you for appreciating them. I appreciate them as well. I
2 think they do a terrific job. And so, I mean, we did the
3 round of applause, but I really do thank you guys for your
4 terrific work.

5 Two last -- two -- a couple last things. So I
6 wanted to thank you all, also, in the room for your patience
7 with the sound system. Apparently everybody else could hear
8 everything just fine. So that's at least a good thing for
9 folks on WebEx and on the phone.

10 I wanted to thank Carter for bringing by the
11 Boulder Electric Vehicle. I did enjoy driving it. I went a
12 little slowly because I wouldn't have wanted a story about a
13 commissioner running over a student. So it was -- that was
14 a fun vehicle to drive. Thank you for bringing it.

15 MR. BROWN: You're welcome.

16 COMMISSIONER SCOTT: And to our hosts here at UC
17 Irvine for letting us meet here. I think it was great. And
18 I appreciate folks for coming to Southern California, of if
19 you were already here to -- oh -- to being here. So we just
20 wanted to give it a try and see if we got some different
21 folks. Southern California, as you all know, is, of course,
22 just as important as Northern California. So we're glad to
23 be here and do this.

24 And I want to thank Darren, also, for running the
25 WebEx. It was so smooth that it was just there all -- all

1 day. So -- and thank you all. I hope you have safe travels
2 back.

3 MR. MCKINNEY: Thank you.

4 (The Commission meeting adjourned at 1:45 p.m.)

5 --oOo--

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, MARTHA L. NELSON, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Advisory Committee Meeting; that it was thereafter transcribed.

I further certify that I am not of counsel or attorney for any of the parties to said conference, or in any way interested in the outcome of said conference.

IN WITNESS WHEREOF, I have hereunto set my hand this 6th day of February, 2014.

/s/ Martha L. Nelson_
MARTHA L. NELSON

CERTIFICATE OF TRANSCRIBER

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.

/s/ Martha L. Nelson
MARTHA L. NELSON, CERT**367

February 6, 2014