

DOCKETED

Docket Number:	24-BUSMTG-01
Project Title:	2024 Business Meeting Agendas, Transcripts, Minutes, and Public Comments
TN #:	255216
Document Title:	Transcript of the March 13, 2024 Business Meeting
Description:	N/A
Filer:	Blanca Camberos
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	3/21/2024 3:12:26 PM
Docketed Date:	3/21/2024

CALIFORNIA ENERGY COMMISSION

In the matter of:

)	
Business Meeting)	Docket No. 24-BUSMTG-01
_____)	

BUSINESS MEETING

CALIFORNIA NATURAL RESOURCES AGENCY BUILDING
 FIRST FLOOR AUDITORIUM
 715 P STREET
 SACRAMENTO, CALIFORNIA 95814

IN-PERSON AND VIA VIDEO AND TELECONFERENCE

WEDNESDAY, MARCH 13, 2024

10:00 A.M.

Reported by:

Martha Nelson

APPEARANCESBOARD

David Hochschild, Chair

Siva Gunda, Vice Chair

Patricia Monahan, Commissioner

Noemi Gallardo, Commissioner

STAFF

Drew Bohan, Executive Director

Lisa DeCarlo, Acting Chief Counsel

Aleecia Gutierrez, Director, Energy Assessments Division

Chuck Gentry, Energy Research and Development Division

Kristi Villareal, Air Pollution Specialist

Elizabeth Varkey, Fuels and Transportation Division

Jana McKinny, Fuels and Transportation Division

Liz Gill, Branch Manager, Energy Assessments Division

Jeffrey Lu, Fuels and Transportation Division

Elyse Kedzie, Energy Research and Development Division

Susan Wilhelm, Energy Research and Development Division

Jemar Roble Tan, Energy Research and Development Division

PUBLIC ADVISOR

Mona Badie

APPEARANCES

PUBLIC ADVISOR

Dorothy Murimi

ALSO PRESENT

Rob Jackson, Stanford University

Yannai Kashtan, Stanford University

Patrick Dobson, Lawrence Berkeley National Laboratory

Chris Busch, Energy Innovation

Robert Meyer, California Employment Training Panel

PUBLIC COMMENT

Jamie Katz, Leadership Council for Justice and
Accountability

Ben Schwartz, The Clean Coalition

Joan Taylor

Shane Ysais, Center for Community Action and Environmental
Justice

Woody Hastings, The Climate Center

Steven King, Environment California

Jessica Tovar, Local Clean Energy Alliance

Brett Garrett

Vicki Hover, BorgWarner EV Charging

Rene Wise, Solar Rights Alliance

Anna Bella Korbatov, Fermata Energy

APPEARANCES

PUBLIC COMMENT (cont.)

Alice Sung, Greenbank Associates

Alexis Sutterman, California Environmental Justice Alliance

Susanna Porte

Robert Hawley

Bob Cipolla

Roger Lin, Center for Biological Diversity

Lorenzo Kristov

Joel Leong

Charles Adams

Charlene Woodcock

Yvette Dicarlo

Julee Malinowski-Ball, California Biomass Energy Alliance

Claire Broome, 350 Bay Area

Kevin Hamilton, Central California Asthma Collaborative

Barbara Stebbins, Local Clean Energy Alliance

Julie Dowell, Sierra Club

Magi Amma, Climate Alliance of Santa Cruz County

Sahm White

Wade Stano, MCE

Marc Costa, Local Government Sustainable Energy Coalition

Steve Campbell, Volt Solar

APPEARANCES

PUBLIC COMMENT (cont.)

Kathleen Barber

Tony Braun

James Frey, 2050 Partners

Stephen Rosenblum, Climate Action California

Frances Bell, Bidirectional Energy

Danny Kolosta, Mutual Housing California

INDEX

PAGE

Introduction	8
1. Public Comment	9
2. Agency Announcements	29
3. Consent Calendar	33
4. Information Item - Recent Findings on Indoor Air Emissions and Concentrations of Benzene Associated with Residential Gas Stoves	45
5. Petition For Rulemaking - Non-Energy Benefits and Social Costs (Docket Nos. 23-SB-100 and 23-OIR-01)	49
6. Information Item - Lawrence Berkeley National Laboratory Presentation on Lithium Resource Study	91
7. Information Item - 2023 Final Staff Report on Senate Bill 643	145
8. Order Instituting Rulemaking on AB 1373 POU Capacity Payment Implementation (Docket No. 24-OIR-01)	162
9. County of Los Angeles	127
10. Responsive, Easy Charging Products with Dynamic Signals (REDWDS) - GFO-22-609	168

INDEX

PAGE

11.	California Employment Training Panel	136
12.	The Regents of The University of California, on behalf of the San Diego Campus	180
13.	Eagle Rock Analytics, Inc.	186
14.	The Next EPIC Challenge: Reimagining Affordable Mixed-Use Development in A Carbon-Constrained Future - GFO-20-305	192
15.	Information Item - Updated battery price forecasts to improve economic benefits of heavy-duty vehicle electrification	116
16.	Minutes	126
17.	Lead Commissioner or Presiding Member Reports	---
18.	Executive Director's Report	133
19.	Public Advisor's Report	133
20.	Chief Counsel's Report	133
	Adjournment	205

P R O C E E D I N G S

10:00 a.m.

WEDNESDAY, MARCH 13, 2024

(Whereupon an introduction video is played and not
transcribed.)

CHAIR HOCHSCHILD: Well, good morning and welcome friends. I'm David Hochschild, Chair of the California Energy Commission. Today is Wednesday, March 13th. I call this meeting to order.

Joining me here in person are Commissioner Monahan and Commissioner Gallardo. And our ever-traveling, amazing Vice Chair, Siva Gunda, is patching in from India, so welcome to you, Vice Chair Gunda.

Let's begin by standing for the Pledge of Allegiance.

(Whereupon the Pledge of Allegiance is recited in unison.)

CHAIR HOCHSCHILD: Thank you.

We'll begin with public comment and then move on to agency announcements.

MS. BADIE: Good morning. This is Mona Badie, the Public Advisor for the California Energy Commission.

The Energy Commission welcomes public comment at its business meetings. This initial public comment period is for any item on the agenda, including non-voting or

1 informational items. There will be additional comment
2 periods for voting items.

3 And there are multiple ways you can let us know
4 you'd like to make a comment. If you're joining us in the
5 room, we're asking folks to use the QR code or visit the
6 Public Advisors table in the back of the room to let us
7 know you'd like to comment. And if you're joining us by
8 Zoom online, you'll use the raise-hand feature on your
9 screen. And if you're joining by phone, you're going to
10 press star nine to raise your hand.

11 And so I'm going to go to folks in the room
12 first.

13 Bruce Severance, if you can please approach the
14 podium. Please state and spell your name for the record
15 before making your comment. And we are asking for comments
16 to be two minutes or less. Bruce, are you in the room with
17 us? All right, I think we lost Bruce.

18 So let me go to folks on Zoom.

19 Jamie, Jamie Katz, I'm going to open your line.
20 If you could please spell your name for the record. And
21 we're asking for comments to be two minutes or less.

22 MR. KATZ: Hi, good morning. Yeah, Jamie Katz,
23 J-A-M-I-E K-A-T-Z, with Leadership Council for Justice and
24 Accountability.

25 Leadership Council for Justice and Accountability

1 works alongside some of the most impacted communities in
2 the San Joaquin and Eastern Coachella valleys.
3 communities. We appreciate and support staff's
4 recommendation to grant the petition to begin a proceeding
5 to consider non-energy benefits and social costs.

6 Too often, the communities we work alongside are
7 forced to live with polluting industries and excluded from
8 investments which would benefit them, including those that
9 would help them through the energy transition. For
10 example, we work alongside many residents who live near
11 massive dairies with thousands or tens of thousands of
12 animals. They are forced to live with substantial air and
13 water pollution, the associated health impacts, and quality
14 of life impacts including odor and flies.

15 California has and continues to fund and
16 facilitate the installation of anaerobic digesters at these
17 massive factory farm dairies. The science shows that a
18 digester not only locks in the most polluting practices,
19 those of extremely concentrated herds and managing manure
20 in water, but in fact makes air and water pollution worse.

21 It is important to note that there are
22 alternatives to anaerobic digesters that provide
23 significant non-energy benefits, including cleaner air,
24 cleaner water, and a better quality of life for nearby
25 communities.

1 The Commission should have considered these
2 impacts before funding anaerobic digesters. However,
3 granting this petition is an important first step in the
4 right direction. We ask the Commission to grant this
5 petition and to prepare a timeline and schedule for this
6 proceeding.

7 Thank you very much.

8 MS. BADIE: Thank you, Jamie.

9 Next, we'll hear from Ben Schwartz.

10 Ben, I'm going to open your line. If you could
11 please spell your name for the record? We are asking for
12 comments to be two minutes or less.

13 MR. SCHWARTZ: Thank you. Ben Schwartz, B-E-N
14 S-C-H-W-A-R-T-Z. Again, my name is Ben Schwartz, and I'm
15 the policy manager with The Clean Coalition. The Clean
16 Coalition was one of the signatories for petition for
17 rulemaking on non-energy benefits and social costs.

18 So I'd like to start by thanking the Energy
19 Commission for taking this issue up and seriously
20 considering the merits of such a proposal. We agree with
21 the staff recommendation to grant the substance of this
22 petition and request a more concrete timeline and schedule
23 to help implement these subjects.

24 I'd just like to make it pretty clear that from
25 the perspective of a number of non-energy benefits,

1 including resilience, not having any way to value these
2 benefits or even to consider how they apply in a regulatory
3 framework has given them a functional value of zero. And
4 that's meant that it's been very easy for our policy to not
5 consider the actual harms and benefits that occur in our
6 communities, particularly frontline communities.

7 So, you know, I think that considering non-energy
8 benefits will help unlock additional funds for local clean
9 energy solutions and will also help internalize many of the
10 consequences or the externalities that communities are
11 currently shouldering without any sort of additional help
12 from the state and our regulatory agencies.

13 So thank you, again, and I urge the Energy
14 Commission to grant this petition.

15 MS. BADIE: Thank you for your comment.

16 Next, we'll hear from Joan Taylor.

17 Joan, I'm going to open your line. If you could
18 please spell your name for the record? We're asking for
19 comments to be two minutes or less.

20 MS. TAYLOR: Good morning. Joan Taylor, J-O-A-N
21 T-A-Y-L-O-R, speaking as an individual ratepayer.

22 Just another voice in favor of properly valuing
23 non-energy benefits of DER in order to meet our 2030
24 decarbonization goal. Without robust energy efficiency and
25 demand response, our decarb targets will be constantly

1 moving goalposts, and all ratepayers will be saddled with
2 ever greater transmission costs, which are growing faster
3 than the cost of energy.

4 I urge you to put a definite timeline on this
5 analysis. Time is of the essence. Thank you.

6 MS. BADIE: Thank you.

7 Next, we'll hear from Shane Yesais. Excuse me if
8 I've mispronounced your name, Shane. I'm going to open
9 your line. If you could please spell your name for the
10 record? We're asking for comments to be two minutes or
11 less.

12 MR. YSAIS: Hello Commissioners. I want to thank
13 you for your leadership in this critical issue. My name is
14 Shane Ysais from Center for Community Action and
15 Environmental Justice.

16 I want to first start by agreeing with staff's
17 recommendation to grant the substance of the petition to
18 open a proceeding and request that staff prepare a timeline
19 and schedule to resolve the proceeding.

20 Although the current SB 100 process includes non-
21 energy benefits and social costs, the process only does so
22 to evaluate the degree of trade-offs of prioritizing
23 biomethane, bad hydrogen, and even continue using fossil
24 fuels, and we do not accept trade-offs. Consideration of
25 social costs will require the CEC to consider the local and

1 air and water pollution and other environmental impacts
2 from biofuels, fossil fuels, and carbon capture.

3 Consideration of non-energy benefits will unlock
4 additional funds for local clean energy solutions to
5 promote public health and environmental justice in other
6 low-wealth income communities. Non-energy benefits unlock
7 additional funds that do not burden ratepayers. The state
8 must determine how much to fund more clean investments in
9 environmental justice and low-income communities simply to
10 meet SB 100 and our climate targets.

11 I want to close by just restating that I agree
12 with staff's recommendation, too, and request a timeline
13 and schedule. And thank you all Commissioners for your
14 leadership in correcting the significant omission of these
15 impacts in our clean energy transition and decision-making.
16 Thank you.

17 MS. BADIE: Thank you.

18 Next, we'll hear from Woody Hastings.

19 Woody, I'm going to open your line. If you could
20 please spell your name for the record? We're asking for
21 comments to be two minutes or less.

22 MR. HASTINGS: Yeah, thank you. Good morning,
23 Woody Hastings with the Climate Center. It's W-O-O-D-Y
24 H-A-S-T-I-N-G-S. And thanks for the opportunity to
25 comment.

1 I am also just calling to chime in to thank you
2 for the leadership on this issue and wanting -- The Climate
3 Center supports and agrees with the staff recommendation to
4 begin the proceeding, to grant the petition and begin a
5 proceeding on non-energy benefits of decentralized solar.

6 So that's really all I called in to say. Thank
7 you very much.

8 MS. BADIE: Thank you. And also just a reminder,
9 we'll have a comment period for item five, as well. This
10 is the open public comment period and it's also available.

11 Next, we'll hear from Steven King.

12 Steven, I'm going to open your line. Please
13 spell your name for the record. we're asking for comments
14 to be two minutes or less.

15 MR. KING: Hi there. Can you hear me?

16 MS. BADIE: Yes.

17 MR. KING: All right. My name is Stephen King,
18 that's S-T-E-V-E-N K-I-N-G. Good morning, Commissioners.
19 And I'm the Clean Energy Advocate with Environment
20 California. I just wanted to thank you for considering
21 this petition on non-energy benefits and for taking
22 leadership on this critical issue.

23 We also agree with the staff recommendation to
24 grant the substance of the petition and open a proceeding
25 to appropriately incorporate non-energy benefits and social

1 costs into CEC analyses, policies, and programs.

2 We also request that staff prepare a timeline and
3 a schedule to resolve this proceeding as quickly and
4 effectively as possible. The CEC is long overdue in
5 considering the environmental, public health, and other
6 local benefits in deciding which energy resources to
7 prioritize in our journey to 100 percent clean energy.

8 Failure to consider these benefits can lead to
9 counterproductive regulatory outcomes that jeopardize our
10 clean energy progress, such as gutting critical rooftop
11 solar incentives. We can't afford to stack the deck
12 against clean energy investments with the greatest societal
13 benefits.

14 Clean energy brings lots of benefits that should
15 be considered, including cleaner air and water, energy
16 resilience, and other important local benefits.

17 Please take this decisive action to maximize the
18 benefits of the clean energy transition for all
19 Californians. Thank you.

20 MS. BADIE: Thank you.

21 Next, we'll hear from a call-in of Local Clean
22 Energy Alliance. I'm going to open your line. If you
23 could please state and spell your name for the record?
24 We're asking for comments to be two minutes or less.

25 MS. TOVAR: Hello, everyone. This is actually

1 Jessica Tovar of the Local Clean Energy Alliance. And the
2 work that my organization does is building equitable clean
3 energy solutions as an extension of the environmental
4 justice and climate justice movement. We do work to build
5 energy democracy, just recognizing that dirty energy has
6 been impacting our communities for way too long, and
7 specifically addressing the fact that it's been affecting
8 people's lives and really robbing us of our basic human
9 rights. And so just to name that.

10 And also, really, I really appreciate and want to
11 support the work to actually include the social cost and
12 really putting like the human need and face back on the
13 issues of energy. Because the only way that we will build
14 energy democracy and solutions and actually create thriving
15 communities is to actually really listen to the communities
16 that have been affected for generations.

17 So I really want to uplift the effort, thank the
18 Center for Biological Diversity for weighing in on this,
19 because we do need to change our energy system so that it
20 is transformed from a bad into a good that actually uplifts
21 communities that have been affected for way too long.

22 And so what I'd like to say is clean power to the
23 people. I look forward to you all voting being in favor of
24 helping us transform this energy system into something that
25 works for us all. Clean power to the people.

1 MS. BADIE: Thank you for your comment, Jessica.
2 Next, we'll hear from Brett Garrett.

3 Brett, I'm going to open your line. If you could
4 please spell your name for the record? We're asking for
5 comments to be two minutes or less.

6 MR. GARRETT: Good morning. My name is Brett
7 Garrett from Santa Cruz speaking in support of item five,
8 non-energy benefits and social costs. First name,
9 B-R-E-T-T, last name, G-A-R-R-E-T-T.

10 It's basic common sense that all decision making
11 should take into account the effects on health and the
12 environment. And I've also heard that more federal funding
13 will be available to California under the Inflation
14 Reduction Act if we take these benefits into account for
15 people in the environment.

16 So please support the staff recommendation and
17 the other callers that I heard speaking on this issue.
18 Thank you very much.

19 MS. BADIE: Excuse me. Thank you.

20 Next, we'll hear from Vicki Hover.

21 Vicki, I'm going to open your line If you could
22 please spell your name for the record? We're asking for
23 comments to be two minutes or less.

24 MS. HOVER: Thank you. Vicky, V-I-C-K-I, Hover,
25 H-O-V-E-R. I'm with BorgWarner EV Charging. BorgWarner is

1 very excited for the opportunity to serve as lead agency
2 and to provide B2X chargers to satisfy GFO-22-612.
3 BorgWarner thanks the CEC for overseeing this grant
4 process, and David Wenzel, RKM (phonetic), for his ongoing
5 technical support.

6 Thank you.

7 MS. BADIE: Thank you.

8 Next, we'll hear from Rene Wise.

9 Rene, I'm going to open your line. If you could
10 spell your name for the record? We're asking for comments
11 to be two minutes or less.

12 MR. WISE: Hi, my name is Rene Wise. I live in
13 Fremont. My name is spelled R-E-N-E, last name is Wise,
14 W-I-S-E, and I'm affiliated with the Solar Rights Alliance.

15 Commissioners, for several years now, it appears
16 the California Public Utility Commission has gone rogue,
17 and not in a good way. Instead of protecting California
18 ratepayers by properly regulating the independently owned
19 utilities, they seem to be siding with them in all their
20 legislation and have crippled our best weapon against
21 climate change, the rooftop solar industry in California.

22 Today, I am urging the California Energy
23 Commission to make things more even on behalf of all
24 Californian ratepayers seeking to utilize rooftop solar to
25 save money and save the planet at the same time. Let's

1 start today by having this Commission approve the petition
2 to consider non-energy benefits and social costs.

3 The CPUC chooses to ignore the impact of the
4 decisions on local communities, land use, jobs, and local
5 air and water pollution. I'm asking you to reject that
6 premise and instead support adding non-energy benefits and
7 social costs. What's the point of shifting to clean energy
8 if we're not putting local communities at the center of all
9 our climate decisions? I can't emphasize enough the
10 importance of this decision.

11 Thank you.

12 MS. BADIE: Thank you.

13 Next, we'll hear from Anna Bella, and I'm going
14 to open your line. If you could please spell your name for
15 the record? We're asking for comments to be two minutes or
16 less.

17 MS. KORBATOV: Thank you. My name is Anna Bella
18 Korbato**v**, A-N-N-A B-E-L-L-A, first name, last name,
19 K-O-R-B-A-T-O-V, from Los Angeles, California. I'm Fermata
20 Energy's Director of Regulatory Affairs, and I want to
21 thank the Commission for the opportunity to provide
22 comments today.

23 Founded in 2010, Fermata Energy is a leading
24 vehicle-to-everything, or V2X, bidirectional charging
25 services provider, with several active projects in

1 California and throughout the country. Fermata Energy is
2 part of the project team that was awarded funding under CEC
3 GFO-22-612, the Electric School Bus Bidirectional
4 Infrastructure Grant. I'd like to, on behalf of Fermata
5 Energy, express our gratitude to the Commission and CEC
6 staff for issuing CEC GFO-22-612 and for recognizing the
7 importance of bidirectional charging to the state's
8 transportation, electrification, and decarbonization goals.

9 We would also like to extend our sincere thanks
10 to the CEC for awarding our proposed projects in
11 partnership with BorgWarner and Lion Electric and American
12 Transportation Systems, the maximum funding amount
13 requested. I'd also like to thank our Commission Agreement
14 Manager, David Wenzel, for all of his diligent work and
15 guidance during the post-award process.

16 This grant will include the installation of 21
17 BorgWarner 125 kilowatt bidirectionally-enabled chargers
18 paired with 20 Lion D all-electric school buses. Fermata
19 Energy's V2X software platform will optimize and manage the
20 charging and discharging of the buses to maximize grid
21 benefits and VTX revenue for the school districts. We look
22 forward to working with cost-saving bidirectional charging
23 solutions and to sharing best practices and lessons
24 learned.

25 For our company, this represents a major

1 milestone, our first successful CEC grant. In terms of
2 installed capacity, this 2.5 megawatt project could
3 potentially be the largest V2G deployment in the state of
4 California. We hope the learnings from this project, in
5 addition to the other bidirectional infrastructure projects
6 funded under this GFO, will help more school districts in
7 the state and beyond to adopt V2G solutions as they embark
8 on their fleet electrification journeys.

9 Thank you.

10 MS. BADIE: Thank you.

11 Next, we'll hear from Alice Sung. Alice, I'm
12 going to open your line. If you could please spell your
13 name for the record? We're asking for comments to be two
14 minutes or less.

15 MS. SUNG: Thank you. Can you hear me?

16 MS. BADIE: Yes.

17 MS. SUNG: Thank you. Alex Sun, Principal of
18 Greenbank Associates. My name is spelled A-L-I-C-E
19 S-U-N-G.

20 I'm here to support item number five. I could
21 reiterate what Jessica Tovar said from the Local Clean
22 Energy Alliance, but I'd also like to emphasize a couple of
23 other points in favor of the staff recommendation to
24 support petitioners for the non-energy benefits and social
25 costs, and these two things are, you know, beyond

1 everything that has been said and what is contained in the
2 wonderfully written six-page memo by staff. There are two
3 other important opportunities for the Energy Commission to
4 lead in our energy system and to address our state energy
5 and climate goals.

6 My background, as some of you may know, has been
7 in green schools, green building, championing green
8 buildings, and zero carbon in our environment, in our built
9 environment, and the transformation to building
10 decarbonization towards a renewable energy and resilient
11 future.

12 So two of the things that I'm also involved in
13 are the California Energy Efficiency Coordinating
14 Committee, the CAEEC at CPUC, as well as the energy --
15 Equity & Market Support Co-Working Groups. The two issues
16 that are involved with this process, if it's well-designed,
17 can have the possibility to finally coordinate the CPUC's
18 regulatory actions with the CEC and its leadership in
19 energy and climate goals, number one, in defining metrics
20 for equity and social costs, and then two, looking at the
21 cost effectiveness formula and looking at examining what is
22 now called the TSB, total systems benefits.

23 You have two opportunities to actually involve
24 the people, as has been mentioned, and to do the deep work
25 that it takes with impacted communities to finally resolve

1 this and evaluate what should properly be social costs.

2 Thank you so much.

3 MS. BADIE: Thank you.

4 And I wanted to pivot back to the room.

5 Bruce Severance, if you've rejoined us, we'd
6 welcome your comment at this time.

7 And also, we have Alexis Sutterman.

8 Alexis, if you are in the room with us and like
9 to make your comment, please approach the podium. And if
10 you could please spell your name for the record before
11 beginning your comment? And we're asking for comments to
12 be two minutes or less.

13 Real quick, just to clarify, if there is anyone
14 in the room who wanted to make comments on item number five
15 and is able to stay until item five is heard, we'd prefer
16 the comments to be said then, but if you're not able to
17 stay, then you can go to the back, fill out a card to make
18 your comment at this time.

19 MS. SUTTERMAN: Great, thank you so much. My
20 name is Alexis Sutterman. It's A-L-E-X-I-S, and Sutterman
21 is S-U-T-T-E-R-M-A-N. I'm here representing the California
22 Environmental Justice Alliance. And I'm here to express
23 support for the staff's recommendation to grant the
24 petition to account for non-energy benefits and social
25 costs.

1 California has sacrificed the needs of low-income
2 communities and communities of color for far too long.
3 These communities are living near gas plants, oil
4 refineries, and other fossil fuel infrastructure.
5 Breathing in this pollution is making our families sick,
6 and it has been for generations.

7 Even though California is shifting to clean
8 energy, we're not seeing it happen fast enough and actually
9 reaching the communities living near these fossil fuel
10 plants whose children are growing up with asthma from
11 breathing in toxic pollution. This is because California
12 does not account for the cost to human health and the
13 environment when looking at the mix of energy resources to
14 prioritize as a state.

15 Our state is keeping fossil fuels online longer,
16 oftentimes because they consider some of them cost
17 effective. But what about the cost of taking care of our
18 family members getting sick every year from breathing in
19 fossil fuel pollution?

20 This is why we're very excited and supportive of
21 the CEC staff's recommendation to grant the petition to
22 incorporate non-energy benefits and social costs into its
23 analyses. This will require the Energy Commission to
24 actually look at the non-energy benefits of living with
25 cleaner air to breathe, cleaner water, a healthier and safe

1 environment, as well as the real human costs of keeping
2 fossil fuels online longer or building new things that
3 still rely on fossil fuels. By actually looking at the
4 real costs and benefits, this will mean more funding for
5 local clean energy projects in low-income communities and
6 communities of color so that they can walk around in their
7 neighborhoods and breathe in clean air.

8 Moving forward, we're really hoping for the
9 Energy Commission to grant this petition and to distribute
10 a timeline and a schedule because this decision has been
11 long overdue and we need to correct this omission. Since
12 we are already so far behind, we want to make sure we can
13 sharpen these metrics as soon as possible so we can advance
14 climate, health and environmental justice.

15 Thank you.

16 MS. BADIE: Thank you.

17 Next, we'll hear from a Haley Robert in the room.

18 Haley, if you're still with us, if you could
19 please approach the podium?

20 And then, okay, so we also --

21 CHAIR HOCHSCHILD: Okay, and I just really want
22 to stress, we're hearing a lot of public comment on item
23 five. We will be taking public comment before we vote on
24 item five. So if you were planning to stay through that
25 discussion, that's really the appropriate time, for those

1 of you who are able to stay, we'll take the comments then.
2 And if you have to go before then, you can give your
3 comment now.

4 MS. BADIE: In the queue, we also have Susanna
5 Porte.

6 Susanna, if you're in the room with us, please
7 approach the podium. We're asking folks to limit their
8 comments to two minutes or less, and please spell your name
9 before beginning your comment.

10 MS. PORTE: Hi, I apologize. I also am
11 commenting on item five, but I'll be quick. My name is S-
12 U-S-A-N-N-A P-O-R-T-E. I'm a private citizen and a music
13 teacher in Berkeley.

14 I want to thank you so much for taking leadership
15 on this critical issue, so I'm urging you to grant the
16 substance of the petition and open a proceeding, and let's
17 prepare a timeline and a schedule to resolve of this
18 proceeding.

19 I urge you to consider the local air and water
20 pollution and other environmental impacts from fossil
21 fuels. We consider them cheap, but they're only cheap in
22 the short run, not in the long run in terms of public
23 health and the environment.

24 Consideration of non-energy benefits will unlock
25 additional funds and these funds will not burden

1 ratepayers. California will receive more federal funds if
2 we consider the non-energy benefits, such as improved air
3 quality and public health.

4 So once again, I wanted to thank you so much for
5 considering this and I would like to request a timeline and
6 schedule for this proceeding. Thank you so much.

7 MS. BADIE: Thank you for your comment.

8 And I wanted to give one last chance to Haley or
9 Holly Robert, if they're in the room, please spell your
10 name for the record. And we're asking for comments to be
11 two minutes or less.

12 MR. HAWLEY: First off, the name is Robert
13 Hawley, H-A-W-L-E-Y. So I'm from San Jose. I'm going to
14 address the land issue, the land use issue raised in the
15 item 5 petition.

16 California has three big goals for the future of
17 its power system, electrification which expands the power
18 needed, green generation which restricts how that power is
19 generated, and cost since we, the ratepayers, are going to
20 have to pay for all this.

21 To meet those goals you'll need more power, a
22 lot. Your green initiative means that that cannot come
23 from fossil fuels. Environmental groups are going to
24 prevent nuclear and hydro. Wind will also get pushback.
25 So that leaves solar.

1 Before NEM 3.0, we were on track to bring 28.5
2 gigawatts of rooftop solar online by 2045. With NEM 3.0,
3 that's largely not going to happen. The impact is that
4 this is going to require the loss of 148,000 acres of land.
5 That's half the area of Los Angeles. Utilities would love
6 to build all the transmission lines to all that power built
7 in remote locations, but they guarantee that they'll do it
8 in the most expensive way possible.

9 Going back to your three goals, without rooftop
10 solar, you're going to have to give up on one of them.
11 Will it be the increased cost? Will it be the increased
12 needs of electrification, green power, or cost?

13 During the Senate Energy Committee meetings last
14 month, the senators demanded the state agencies be honest
15 with them if goals cannot be met. What are you going to
16 tell them?

17 Thank you.

18 MS. BADIE: Thank you for your comment.

19 And I'm just doing a refresh on our QR code
20 queue. That concludes public comment for item one.

21 Back to you, Chair.

22 CHAIR HOCHSCHILD: Okay. Thank you all for those
23 comments.

24 In terms of agency announcements, one really
25 important milestone on our journey to a clean

1 transportation future that I wanted to highlight, and
2 particularly recognize Commissioner Monahan and her team,
3 has been the opening of the Tesla network. So we've been
4 negotiating this for over a year and a half. And it's
5 basically turning a private garden into a public park. The
6 Tesla network is very well maintained and the chargers are
7 very fast. The site selection is excellent.

8 And over the course of the last half year or so,
9 every major automaker in the market that's making EVs has
10 converted to what's called the NACS standard, the North
11 American Charger Standard, which is good. This is a single
12 charge plug design and I think will really help accelerate
13 electric vehicle adoption.

14 What they're doing is phasing in by auto
15 manufacturer, starting with Ford. So right now, Ford EVs
16 are able to plug in. Next month, they're adding GM and
17 Rivian, and then just going to go through all the
18 automakers. And it should be concluded by the fourth
19 quarter of this year. Tesla has about 6,000 fast chargers
20 in California. They're going to be roughly tripling that
21 over the next two years.

22 I really want to recognize my chief of staff, Kat
23 Robinson, who worked really hard on this. Commissioner
24 Monahan's been spectacular. Her team, Hannon Rasool,
25 Governor's Office, CARB, and all the rest. This is

1 definitely part of the mosaic we have to build to be able
2 to make charging your car as accessible.

3 You know, when you buy a phone, nobody ever asks,
4 where am I going to get electricity to charge your phone?
5 That's certainly not a barrier to buying a phone, but that
6 is where we are with charging now, it's still a concern.
7 Where we are in the adoption curve is such that it's a big
8 issue and we have to make it friction-free for people to
9 get around and charge easily. And this is a big milestone,
10 so I just wanted to recognize that and thank everybody for
11 working that.

12 We have also now passed 100,000 EV chargers in
13 the state. So we're at 105,000 combined with private
14 chargers. We're now more charge plugs than gasoline
15 nozzles in California. And we're adding about 1,200
16 electric vehicles a day, 25 percent new vehicle sales. So,
17 good momentum there. I think we got to just lean in extra
18 hard and keep that going.

19 And I really just want to commend Commissioner
20 Monahan for the incredible work on deploying these many
21 billions of dollars we're now putting into the EV charging
22 infrastructure and just couldn't be more grateful for your
23 work. And I don't know if you want to share any thoughts
24 on that topic as well?

25 COMMISSIONER MONAHAN: Well, you're so eloquent.

1 The only thing I would add is that, you know,
2 we've been doing here at the Energy Commission a series of
3 grants to support EV manufacturing here in the state, EV
4 and related manufacturing in the state. And we just hit 60
5 EV-related manufacturers in the state of California. We're
6 really the new Michigan when it comes to EV manufacturing.
7 So I just wanted to highlight that, really, we're firing on
8 all cylinders except, of course, in an electric vehicle.

9 CHAIR HOCHSCHILD: Okay. Great.

10 Commissioner Gallardo, any agency announcements?
11 Yeah, go ahead.

12 COMMISSIONER GALLARDO: Well, congratulations on
13 that note as well. Buenos dias. Good morning, everybody.

14 I did want to let you all know that the Energy
15 Commission, if you didn't already know, has an annual event
16 called the Clean Energy Hall of Fame Awards, and this is
17 going to be held December 5th this year. And what we do is
18 celebrate and honor and uplift six local leaders throughout
19 the state who are contributing to a 100 percent clean
20 energy future.

21 So we are taking nominations until May 10th. I
22 encourage you all to submit. It's not too hard of a form
23 to fill out and you can find it on our webpages. I will
24 share the link to the Clean Energy the Hall of Fame Award
25 webpage in the Zoom. And for those of you in the room, you

1 can go to the website to find it. It's right on the
2 homepage.

3 And then I wanted to end with saying happy
4 Women's History Month. So it's important to celebrate
5 these types of, I feel like, cultural milestones where
6 we're uplifting each other, and this month it's women. And
7 so to all of you out there who identify as a woman, thank
8 you for being a warrior. Appreciate you.

9 CHAIR HOCHSCHILD: Thank you.

10 Vice Chair Gunda, any agency announcements?

11 VICE CHAIR GUNDA: None from me, Chair. Thank
12 you.

13 CHAIR HOCHSCHILD: Okay, so today's meeting,
14 we're going to be considering approval for over \$77 million
15 of investments contributing to California's economic
16 recovery.

17 With that, let's go to item three, the consent
18 calendar. We're going to be removing item D. And I
19 believe Commissioner Monahan has a statement.

20 You don't have a statement?

21 Okay, so let's see if we have any public comment
22 on item three, keeping in mind item D is being removed.

23 MS. BADIE: Good morning again. This is Mona
24 Badie, the Public Advisor for the Energy Commission.

25 The Energy Commission now welcomes public comment

1 on item three. If you're in the room with us, we're asking
2 folks to use the QR code or visit the Public Advisor's
3 table in the back of the room. And if you're joining us by
4 Zoom, please use the raise-hand feature. It looks like an
5 open palm on your screen. Also you can press star nine if
6 you're joining us by phone to comment and just giving that
7 brief moment.

8 We don't have any commenters for item three.

9 Back to you Chair.

10 CHAIR HOCHSCHILD: Okay, unless there's
11 Commissioner discussion, I'd welcome a motion from
12 Commissioner Gallardo on items 3A through C and items E
13 through G.

14 COMMISSIONER GALLARDO: To clarify, are we
15 separating them?

16 CHAIR HOCHSCHILD: We are. Those are all the
17 items with the exception of item D.

18 COMMISSIONER GALLARDO: Okay, because
19 (indiscernible). Sorry. Okay.

20 I move to approve items 3A through C and 3E
21 through G.

22 CHAIR HOCHSCHILD: Is there a second from
23 Commissioner Monahan?

24 COMMISSIONER MONAHAN: I second.

25 CHAIR HOCHSCHILD: All in favor say aye.

1 Commissioner Gallardo?

2 COMMISSIONER GALLARDO: Aye.

3 CHAIR HOCHSCHILD: Commissioner Monahan?

4 COMMISSIONER MONAHAN: Aye.

5 CHAIR HOCHSCHILD: Vice Chair Gunda?

6 VICE CHAIR GUNDA: Aye.

7 CHAIR HOCHSCHILD: And I vote aye as well. That
8 passes four to zero.

9 We'll turn now to item four, which is an
10 information item, Recent Findings on Indoor Air Emissions
11 and Concentrations of Benzene Associated with Residential
12 Gas Stoves.

13 I welcome Rob Jackson and Yannai Kashtan from
14 Stanford University to present. Thank you both for being
15 here.

16 MR. JACKSON: First of all, hello everyone, and
17 thank you to the Commission and to the audience. Thank you
18 for your work. My name is Rob Jackson. Sorry, this is
19 hard for a teacher to have my back to the audience. My
20 name is Rob Jackson. I teach energy and the environment at
21 Stanford, and I'll be speaking today with Yannai about our
22 work on gas appliances.

23 So we have, for a decade, studied emissions of
24 methane and carbon dioxide, greenhouse gases that come from
25 gas appliances. We also measure indoor air pollutants,

1 such as carbon monoxide, nitrogen dioxide, which is a NOx
2 gas and an asthma trigger, and benzene, which is classified
3 as a known human carcinogen.

4 So next slide, please. One more.

5 So if you remember anything from the presentation
6 today, this is it, so electric induction and electric coil
7 stoves emit zero benzene and zero nitrogen dioxide
8 pollution. Those are the two bars on the left of each
9 panel that you're looking at here. And fossil gas and
10 propane emit substantial amounts of both of those
11 pollutants.

12 So in each of these two plots, benzene on the
13 left, nitrogen dioxide on the right, you're seeing the
14 difference between electric and fossil. And that
15 difference sort of sets the stage for what happens in a
16 home. What fuel a homeowner chooses dictates whether or
17 not they will have sources of these pollutants in their
18 home from their appliances or whether they won't. So gas
19 and propane emit substantial amounts, electric and
20 induction, none.

21 And then finally, you can reduce risk through
22 ventilation and behavioral changes, which is what Yannai
23 will talk about, but you can't eliminate it. So for the
24 next slide, I mean, can't we just turn our hoods on to get
25 rid of this pollution?

1 Next slide, please.

2 And the answer is, no, you can't. The
3 ventilation hoods help some but they don't eliminate the
4 risks. And I say this based on more than a decade of
5 research here in California, much of it led by Brett
6 Singer's lab and Lawrence Berkeley Lab.

7 Here are a couple of examples from our work. On
8 the left, you're seeing benzene concentrations in a
9 kitchen. In the case of the house on the left, all those
10 concentrations rose above the eight-hour California
11 recommended exposure limit, the safe threshold. The stars
12 are with the hood off, the circles are with the hood on.
13 So the hood lowers those concentrations a bit but in both
14 cases the concentrations reached in this kitchen stay above
15 that safe threshold. So the hood helps some, but does not
16 eliminate the risk.

17 The house on the right's a little bit different.
18 This is a lower-polluting home, so the concentrations stay
19 below the eight-hour REL. But in this case, the resident
20 turns the hood on and it does nothing to change the
21 concentration. And this is a kind of thing that we see
22 regularly and that other investigators have found.

23 Next slide, please.

24 So to think about why, here's a home, a picture
25 of a home that we sampled in Bakersfield. This is what we

1 often see, particularly in residences of lower-income
2 neighborhoods. This house has no ventilation hood. And it
3 doesn't just depend on whether or not you have a hood, it
4 depends on what kind of hood it is. Many hoods don't vent
5 the pollution outdoors but, in fact, we circulate the air,
6 mix it back into the home, which does nothing to eliminate
7 the concentrations of benzene and nitrogen dioxide that we
8 see.

9 And I'll also point out in this slide that
10 California has the highest percentage of gas stove usage in
11 the whole United States. Seventy percent of our residences
12 have gas stoves. So what we decide to do here in
13 California influences tens of millions of people.

14 CHAIR HOCHSCHILD: Just kind of curious. What's
15 the percentage nationwide of cooking that's on gas?

16 Probably closer to half cost half.

17 CHAIR HOCHSCHILD: Half?

18 MR. JACKSON: Half-ish.

19 CHAIR HOCHSCHILD: Okay.

20 MR. JACKSON: So we're quite high, which I
21 actually don't know the historical reasons for, but 30 to
22 40 percent nationwide. So anyway, what we decide to do
23 makes a big difference for exposure for tens of millions of
24 people.

25 Next slide, please.

1 So forgive a couple of graphs, but I want to take
2 just a couple minutes and show what we actually measure in
3 people's homes. This is benzene on the vertical or y-axis
4 at an eight-hour time course on the horizontal axis. White
5 on the left is when the stove is on, in this case, an oven,
6 and darker to the right is when it's off. And what you see
7 in all of these six houses is benzene concentration
8 starting near zero and then rising within half an hour or
9 an hour above the two health benchmarks that you see there,
10 the eight hour towards the bottom and the more sort of
11 stronger acute or short-term threshold to the top.

12 In all cases, benzene emissions go up. In three
13 of these six cases, they go up above these health
14 benchmarks. Not only do they rise above safe thresholds,
15 but they stay there for hours after the stove is off. And
16 I think that's the key thing I think a lot of people don't
17 understand is that the pollution doesn't just stay in the
18 kitchen, it migrates through the home.

19 And I'll go to the next slide, please. And then
20 one more.

21 This is just for nitrogen dioxide instead of
22 benzene, the same situation, a half a dozen houses. In
23 three of the cases, they're still emitting NO₂, but the
24 concentrations don't reach above the EPA and World Health
25 Organization concentration guidelines, but in three, they

1 do. And once again, they linger in the bedrooms. These
2 are the farthest bedrooms down the hall from the kitchen.

3 So the concentrations that we reach with some
4 stoves and some homes are dangerous. Hoods help somewhat
5 to alleviate this risk but they do not eliminate the risk
6 entirely.

7 So I think I'll turn it over to Yannai and he'll
8 take a few minutes and discuss some of the factors. What
9 contribute most to the pollution? And what can we do about
10 it?

11 MR. KASHTAN: Thanks. Next slide, please.

12 So as Rob highlighted, the first portion of our
13 work focused on asking the question, do gas stoves emit
14 benzene? And then measuring and quantifying how much
15 benzene and NO2 these gas stoves emit. And we also
16 measured concentrations in a few homes.

17 But to answer the question systematically, how
18 much pollution are people exposed to across the nation from
19 gas stoves, and in the state of California, we turned to a
20 computer model where we were able to input all the relevant
21 parameters. So our own data on pollution emissions from
22 gas stoves, statistical distributions of how much gas
23 people use, what kinds of range hoods people have, how
24 useful they are, and how much people actually use them,
25 people's home sizes, how long people spend in different

1 rooms, even how long people spend with their windows open
2 and what the ambient weather is. So all these factors
3 going into this indoor air quality model to produce this
4 population-wide estimate of exposure.

5 Next slide, please.

6 What we found was that across the board for
7 nitrogen dioxide, for carbon monoxide, and for benzene,
8 just having a gas stove and using it normally increases
9 your overall long-term exposure.

10 And zooming in on nitrogen dioxide specifically,
11 we found that, on average, people who have a gas stove
12 reach three quarters of the WHO health benchmark just from
13 the stove alone, and that's putting aside all outdoor
14 sources of NO₂. So more gas use means more exposure to
15 NO₂.

16 And perhaps unsurprisingly, people who live in
17 smaller houses, all else equal, are exposed to more
18 pollution from stoves than people who live in larger
19 houses, simply because you have less volume in which to
20 dilute that stove pollution. And this disparity in
21 exposure from housing size in turn drives disparities in
22 exposure by socioeconomic status and racial groups because,
23 on average, folks who are lower income tend to live in
24 smaller houses and therefore are exposed to higher levels
25 of pollution from stoves.

1 Next slide, please.

2 So I've talked specifically about exposure from
3 stoves, but we wanted to contextualize this. After all,
4 there are many sources of pollution in our lives, and we
5 wanted a sense of how the pollution from stoves fits into
6 this bigger picture.

7 Comparing exposure to NO₂ from stoves with
8 exposure to NO₂ from all outdoor sources combined, we found
9 that, on average, gas stoves are responsible for about one-
10 third of NO₂ exposure among people who have gas or propane
11 stoves. The exact ratio depends on how clean the outside
12 air is, so if you're in a rural area, relatively more of
13 your exposure will be from your stove. If you're in an
14 urban area, you can see that second column in the plot,
15 relatively more of your exposure will be from the outside.

16 But if you're a cook, a home cook spending a lot
17 of time in the kitchen, these ratios flip. And as you can
18 see the fourth column in the plot, two-thirds of your NO₂
19 exposure comes from your stove, whereas only one-third
20 comes from all outdoor sources combined. And again, slight
21 differences based on whether you're in a rural area with
22 cleaner outside air or in an urban area with more NO₂ in
23 the outside.

24 We've also chosen to plot them against WHO safety
25 benchmarks, and you can see that gas stove use can,

1 depending on how clean your outside air, push your exposure
2 over, in the case of the general population, the WHO's
3 chronic exposure threshold, and in the case of home cooks
4 above the WHO's higher safety threshold, its higher
5 intermediate target.

6 Next slide, please.

7 So zooming out and looking at our work overall,
8 we found that two things affect exposure to gas stove
9 pollution most. Fuel choice. Do you have a gas or propane
10 stove, or do you have an electric coil or induction stove?
11 That's the number one. And then after that, how much you
12 actually use a gas stove. So how much gas you're actually
13 burning? And those two factors affect your exposure quite
14 a bit.

15 Next, we looked at hoods. As we found hoods, you
16 know, hoods, when turned on, do some to alleviate exposure,
17 especially if they are outside vented. But it's important
18 to note that about two-thirds of people hardly ever use
19 their hoods or never use their hoods, and that's for people
20 who even have outside venting hoods. Many people lack
21 outside venting hoods.

22 And finally, to note on this point, however good
23 your hood is, it does nothing to address the greenhouse gas
24 emissions from stoves, which just get emitted to the
25 outside.

1 And third, just to go back to our main point, we
2 found that gas, typical regular gas stove use can lead to
3 benzene and NO2 exposures that can and do cross safety
4 benchmarks in some households.

5 With that, I'll turn it back to any questions.
6 Thank you very much.

7 CHAIR HOCHSCHILD: Thank you so much. Let me go
8 to my colleagues.

9 Commissioner Monahan?

10 COMMISSIONER MONAHAN: Really interesting study.

11 I'm curious, did you find difference in emissions
12 from the stove versus the stovetop or the oven versus the
13 stovetop?

14 MR. KASHTAN: Yeah, so it's a little bit of a
15 different story for benzene versus nitrogen dioxide. For
16 nitrogen dioxide, really it's a linear relationship between
17 how much gas is burned and how much NO2 you get. So ovens,
18 say set to, you know, set to, say, 350 Fahrenheit will emit
19 generally more NO2 than just a burner on medium, just
20 because they're burning more gas.

21 For benzene, it's a bit more complicated. Some
22 stoves are high emitters, others are lower emitters. In
23 general, ovens tend to be higher emitters than cooktops,
24 although there's quite a bit of variation between these.

25 COMMISSIONER MONAHAN: Have you looked at

1 anything specific to children and impacts to children?

2 MR. KASHTAN: So we're looking specifically at
3 exposure, so basically how much, what the, you know, the
4 integral being basically how much you're exposed to over
5 time. We're not health experts looking at quantifying the
6 outcomes of that.

7 But that said, we know that both nitrogen dioxide
8 and benzene are more potent against children. So benzene
9 is a leukemogen and it's more potent at causing leukemia in
10 children. NO2 is an asthma trigger and it is more potent
11 at causing and exacerbating asthma in children. We do know
12 that.

13 COMMISSIONER MONAHAN: And then one last
14 question. Have you looked at any like California-specific
15 data? And I'm thinking particularly that because we have
16 two severe non-attainment zones with high NO2/NOx
17 emissions, I'm guessing the air pollution impact actually
18 may be different in California than the national average --

19 MR. KASHTAN: Yeah. So what right now --

20 COMMISSIONER MONAHAN: -- which is not to say
21 it's not important.

22 MR. KASHTAN: Yes.

23 COMMISSIONER MONAHAN: I'm just saying like --

24 MR. KASHTAN: Yeah.

25 COMMISSIONER MONAHAN: -- we need to deal with

1 air pollution and we need to deal with indoor air
2 pollution.

3 MR. KASHTAN: Oh, yes, both outdoor and indoor
4 are super important. And, you know, as we do a better and
5 better job on outdoor the relative importance of indoor
6 sort of rises as well. We're working on exactly that.
7 We're producing sort of a zip code-based map of exposures,
8 that's in progress, trying to compare very locally
9 geographically sort of relative indoor versus outdoor
10 exposures.

11 CHAIR HOCHSCHILD: I'm just curious about income,
12 if you have looked at health impacts by income bracket?
13 Because my understanding is it's more severe for low-income
14 households that have lower quality beds, hoods, or don't
15 have ventilation.

16 MR. KASHTAN: So we have, with the caveat that,
17 of course, our estimate is only as precise as the model's
18 input data, and there is not the best data on hood efficacy
19 as a function of income. But even just looking mostly at
20 just housing size, you know, how big on average are, you
21 know, the houses of people in different income brackets, we
22 find that lower income people on average are exposed to
23 more pollution from stoves and higher income people, even
24 just in this model, which ignores these other effects
25 about, you know, differences in hood efficacy, for

1 instance, yeah.

2 CHAIR HOCHSCHILD: Commissioner Gallardo?

3 COMMISSIONER GALLARDO: Interestingly,
4 Commissioner Monahan, I also immediately thought about kids
5 as you were delivering the presentation. I thought about
6 my two young kids and these like fumes following them
7 around, so it does feel scary.

8 I was curious about one the homes that were
9 studied. How were those selected and why? And then I have
10 another question but I'll let you answer that one first.

11 MR. KASHTAN: Yeah, so the first portion of the
12 study was just looking at emission rates, just trying to
13 answer the question, you know, how much pollution is coming
14 off the stove? And there it was a combination of just
15 online survey signups. We had a few Airbnbs, as well,
16 trying to get the homes. And we found no clear correlation
17 between emission rates from the stove and the age, brand,
18 price point, you know, visible cleanliness of the stove, so
19 we felt like that was a fair way to get the sample size.

20 The second part, we were actually looking at
21 concentrations. We wanted to -- we intentionally tried to
22 get diversity of housing sizes and layouts, so we
23 intentionally chose those to represent different kinds of
24 houses.

25 CHAIR HOCHSCHILD: Unless, are there any

1 questions from the Vice Chair?

2 COMMISSIONER GALLARDO: I had one more question.

3 CHAIR HOCHSCHILD: You have one more?

4 COMMISSIONER GALLARDO: Yeah, so --

5 CHAIR HOCHSCHILD: Sorry, go ahead, Vice Chair,
6 why don't you go, and we'll go back to Commissioner
7 Gallardo.

8 VICE CHAIR GUNDA: Yeah, thank you, Chair.

9 Thank you so much for the presentation. Just a
10 quick question on the modeling itself.

11 How did you characterize the different types of
12 houses? I don't know whether it's floor space, volume. To
13 really understand the penetration, it would be helpful.
14 Thank you.

15 MR. KASHTAN: Yeah, so the basis for the modeling
16 was a set of floor plans that were already in this indoor
17 air quality model called CONTAM that were designed to be
18 representative of the U.S. housing stock. And we, you
19 know, we assigned given houses in the residential energy
20 consumption survey database to each of those floor plans
21 based on, you know, first of all, the type. Is it a mobile
22 home? Was it an apartment? Is it attached? Is it a
23 detached house? Its square footage, number of stories.
24 Does it have a central air conditioner or not? Sort of a
25 decision tree of different factors.

1 CHAIR HOCHSCHILD: Commissioner Gallardo?

2 COMMISSIONER GALLARDO: I'm just curious about
3 the comment you made about the hoods and how people that
4 have them may not even use them. Do you have any
5 information about why that is?

6 MR. KASHTAN: A little bit. So this was going
7 off of mostly research led by Brett Singer at LBNL. And
8 his group has a paper specifically on factors affecting
9 range hood use, so that's part measurement and part
10 surveys. So noise was a big factor.

11 And also, lack, you know, lack of smell being
12 correlated with a perception of not needing to use the
13 hood. So if you're not cooking something smoky, then
14 people don't think they need the hood. If you're just
15 boiling water, if you just have the oven on, for instance.
16 So if you're, you know, frying something very smoky, people
17 might tend to turn on their hood, but if you're just
18 boiling water, then, no.

19 CHAIR HOCHSCHILD: Well, unless there's other
20 questions, let me thank you and Professor Jackson.
21 Terrific presentation. Thank you for your work.

22 MR. JACKSON: Thank you.

23 MR. KASHTAN: Thank you very much.

24 CHAIR HOCHSCHILD: All right, with that, we'll
25 turn toward item five, Petition For Rulemaking - Non-Energy

1 Benefits and Social Costs.

2 And I believe Commissioner Gallardo has a
3 statement before we welcome Aleecia to kick us off.

4 COMMISSIONER GALLARDO: Yes, I do.

5 So item five is the Energy Commission's
6 consideration of a petition for rulemaking filed by the
7 Center for Biological Diversity and signed by several other
8 community-based organizations, including the Greenlining
9 Institute, a 501(c)(3) tax-exempt organization.

10 I am on the Board of Directors of the Greenlining
11 Institute and serve as co-Chair. I can affirm that I have
12 no economic interest in the nonprofit organization and have
13 not accepted any compensation or things of value from the
14 Green Lining Institute.

15 Additionally, I have never participated in a
16 conversation with colleagues at the Greenlining Institute
17 about this petition or whether the Greenlining Institute
18 would sign this petition submitted to the Energy
19 Commission. Therefore, there is no conflict of interest or
20 incompatibility with my participation in the Energy
21 Commission's consideration and vote on this item.

22 Thank you.

23 CHAIR HOCHSCHILD: Okay, Aleecia, over to you.

24 MS. GUTIERREZ: Thank you. Good morning, Chair,
25 Vice Chair, and Commissioners. I'm Aleecia Gutierrez,

1 Director of the Energy Assessments Division. And this
2 morning, I bring the staff recommendation in response to a
3 petition for rulemaking on non-energy benefits and social
4 costs filed by a group of 16 organizations.

5 Next slide.

6 On February 5th, a coalition of petitioners filed
7 a petition for rulemaking to integrate non-energy benefits
8 and social costs into the CEC's resource planning
9 activities and investment decision-making and integrate
10 non-energy benefits and social costs into all cost-
11 effectiveness determinations. They requested a rulemaking
12 to transparently and comprehensively address non-energy
13 benefits and social costs and requested it be an iterative
14 process that starts with specific categories and, over
15 time, refined methodologies with other economic
16 considerations and reflect qualitative lifecycle value of
17 externalities as standards for resource portfolios.

18 They also specifically requested that this
19 rulemaking inform the 2025 SB 100 Interagency Report, which
20 is due at the end of this year.

21 Next slide.

22 Staff agree that improving the integration of
23 non-energy benefits and social costs into policy planning
24 and decision-making may better public health, environmental
25 outcomes and benefits for communities.

1 Next slide.

2 The petition was submitted to the 2025 SB 100
3 report docket and was intended to influence the 2025
4 report. The CEC, California Public Utilities Commission,
5 and California Air Resources Board are required to submit a
6 report every four years that reviews the policy, including
7 technical, safety, affordability, and reliability aspects,
8 assesses reliability benefits and impacts, assesses
9 financial benefits and impacts, assesses the barriers and
10 benefits to achieving the policy, and assesses alternative
11 scenarios and the costs and benefits of each.

12 Next slide.

13 The first SB 100 report provided directional
14 information to inform state policy and planning. It found
15 that achieving SB 100 is technically feasible and indicated
16 the need for 148 gigawatts of new storage and generation
17 resources by 2045 in addition to new energy efficiency,
18 customer solar, and demand response. It was not, however,
19 intended to dictate utility procurement, which is
20 determined by each load serving entity and publicly owned
21 utility-specific planning processes.

22 Next slide.

23 The 2025 SB 100 report builds on the 2021 report
24 and will include an overview of current statewide efforts
25 and progress towards achieving the state's clean

1 electricity and identify opportunities to enhance those
2 processes. It will also evaluate alternative scenarios to
3 understand the impact of uncertainty of cost, technology
4 innovation, and project development on achieving SB 100.

5 This report process kicked off in August, 2024,
6 and we've had workshops on the power system modeling and
7 land use approach for the report thus far. Directly
8 related to this petition, we are holding a workshop on non-
9 energy benefits and social costs on April 16th. We
10 anticipate having results for this analysis in late summer,
11 with the report due January 1st, 2025.

12 Next slide.

13 The CEC has contracted a consultant to support SB
14 100 non-energy benefit analysis in this report. Through a
15 public process, the joint agencies are evaluating options
16 to address the following categories of NEBs: land use
17 impacts; public health and air quality; water supply and
18 quality; economic impacts; and resilience.

19 Next slide.

20 While staff agree with the petitioners on the
21 importance of further evaluating the usage of the non-
22 energy benefits and social costs, granting the petition in
23 full would present limitations to what appear to be the
24 objectives of the petitioners and foreclose the possibility
25 of more meaningful public participation in a robust,

1 transparent, and public process.

2 Pursuant to the APA, granting the petition in
3 full would require a regulations package would be made
4 available immediately, including proposed regulatory
5 language. The process initiated by granting the petition
6 in full does not allow for a pre-rulemaking process, does
7 not allow for the public to inform proposed language, and
8 would not allow for the CEC to follow its standard outreach
9 and engagement practices.

10 The petitioners did not propose specific
11 regulatory language and acknowledge the need for process to
12 comprehensively address non-energy benefits and social
13 costs.

14 Next slide.

15 Staff believes, however, that opening an order
16 instituting informational proceeding, or OIIP, would be
17 responsive and allow for a robust and transparent public
18 process and stakeholder engagement, providing an
19 opportunity for input from multiple perspectives. OIIPs
20 are more flexible and iterative processes. Development in
21 an OIIP can address the petitioner's request to inform CEC
22 analyses, planning, and decision-making processes.

23 While development in the OIIP may inform the 2025
24 report, if timing allows, staff acknowledged that the
25 timing of the petition submittal considered with the time

1 needed for a robust and transparent public process will
2 make it very difficult.

3 SB 100 staff are currently developing the NEB
4 analysis for this report with a workshop planned next
5 month. However, methodologies and outcomes may also inform
6 the longer-term OIIP.

7 Next slide.

8 Staff recommendation -- or staff recommends that
9 the Commission grant the petition in part in its request
10 for CEC to initiate a transparent public process and
11 determine methodologies to integrate NEBs and social costs
12 and to CEC planning processes and decision-making. To
13 achieve this, staff recommend the Commission adopt a
14 proposed order instituting an informational proceeding to
15 serve as that forum.

16 Staff also recommend that the Commission deny the
17 petition in part to the extent that it requests the CEC to
18 adopt an order instituting a rulemaking and complete a
19 rulemaking pursuant to Government Code sections 11340.6 and
20 11340.7.

21 Thank you, and that concludes my presentation.

22 CHAIR HOCHSCHILD: Thank you so much, Aleecia.

23 With that, we'll go to public comment on item
24 five. For those of you who did not comment at the outset,
25 we welcome you to provide comments now.

1 MS. BADIE: Hello again. This is Mona Badie, the
2 Public Advisor.

3 The Commission now welcomes public comment on
4 item five. As the Chair requested, if you've already
5 commented on item five during our open public comment
6 period, that was item one, we're asking you to not comment
7 again. Your comments were heard and we want to make room
8 for other speakers as well.

9 So if you're in the room with us, we're asking
10 folks to use the QR code posted or to visit the Public
11 Advisor table at the back of the room. If you're joining
12 us on Zoom online, please use the raise-hand feature. It
13 looks like an open palm on your screen. And if you're
14 joining us by phone, you'll press star nine to raise your
15 hand. And you can start doing all of those things now and
16 we'll call on the order that we received the request.

17 So starting in the room, Tanya DeRivi (phonetic),
18 if you could please approach the podium? Please spell your
19 name for the record. And we're asking for comments to be
20 two minutes or less. All right, Tanya, we don't have Tanya
21 in the room.

22 So we'll move on to Sophie Ellinghaus (phonetic).

23 Sophie, are you here for item five? All right,
24 we don't have Sophie in the room.

25 We'll go to Bob Cipolla. Excuse me if I've

1 mispronounced your name, Bob. If you could please spell
2 your name for the record? We're asking for comments to be
3 two minutes or less.

4 MR. CIPOLLA: Thank you. My name is Bob Cippola,
5 spelled C-I-P-O-L-L-A. I'm here at the urging of the Solar
6 Rights Alliance. I don't represent them specifically. I
7 represent my own opinion about the petition, which I
8 support. I wanted to tell you about my personal
9 experience.

10 In 2017, the Tubbs fire came through the San Rosa
11 area where my home is. And besides losing my home, my
12 neighborhood, my community, there were a total of 5,300
13 other structures, homes that were destroyed in that time.

14 I took advantage of something you may have had
15 part of doing, the Advanced Energy Rebuild Program. And
16 even as a 40-year experienced general contractor, I learned
17 about electrification. I learned about energy efficiency.
18 I learned how to build a house for the future. And in
19 doing that, I had 35 solar panels installed on the south
20 side. I put a backup battery in place. I used induction
21 cooktop, heat pump water heater, heat pump air conditioning
22 and heating, and I'm very proud of that accomplishment. I
23 added to that two electric vehicles in which we, my wife
24 and I, use now.

25 So my story is interesting in that it's a story

1 of what has worked or what is working. It's also a story
2 of what's not quite working as well as expected back then
3 because of rate increases. In particular, PG&E's raised
4 rates 23 percent this year from last year. How that
5 affects me is I make more electricity, generate more
6 electricity for my house than I can use, so some of it goes
7 back to the grid. I also buy from the grid at night or
8 during bad weather and the differential between those two
9 is ridiculously unfair. Electricity should have a value
10 and, yes, the grid is a problem.

11 But one thing I want to point out is that my
12 house removed one demand, one house demand from the grid,
13 thereby increasing the efficacy of the grid. So if we can
14 encourage more homes to do this then we can, in fact, make
15 the grid more available to those that need it. We can
16 create more electricity for the goals of California.

17 Thank you.

18 MS. BADIE: Thank you, Bob.

19 And next, we'll hear from Roger Lin.

20 Roger, if you can please approach the podium and
21 spell your name for the record before you begin? We're
22 asking for comments to be two minutes or less.

23 And also, while you're approaching the podium, I
24 just wanted to say for Tanya DeRivi and Sophie Ellinghaus,
25 if you meant to comment on a different item than item five,

1 if you can please visit the Public Advisor table so we can
2 make sure to capture your comments.

3 Thanks Roger.

4 MR. LIN: Thank you, Commissioners. Roger Lin,
5 R-O-G-E-R L-I-N. I'm an attorney with the Center for
6 Biological Diversity and one of the inaugural members of
7 Disadvantaged Communities Advisory Group, where next month
8 I'll be completing my term after six years. And I want to
9 emphasize that at practically every single meeting that the
10 advisory group has had, we have raised the need to consider
11 non-energy benefits and social costs. So I thank the
12 Commission for the leadership in tackling this critical
13 issue.

14 We know the harms of fossil fuel and other
15 combustion resources, and we know the land use impacts of
16 relying on utility-scale bulk resources. We need to put
17 those factors up front in decision-making, though. We do
18 not need to accept tradeoffs. Environmental justice is no
19 longer a novel concept, but our regulations and our
20 decision-making has to catch up with that.

21 And also the benefits of clean energy, especially
22 in environmental justice communities, if we don't fix our
23 cost-benefit analyses, these projects will continue to not
24 pencil out and we won't be able to access available
25 funding. And I want to stress that it's available funding,

1 whether maximizing state subsidies or increasing access to
2 federal funding.

3 With the Inflation Reduction Act, the White House
4 and the federal EPA are clear, we have to tackle local
5 pollution in addition to climate. This proceeding, if
6 granted, would allow us to show the federal government that
7 California knows how to tackle the climate emergency and
8 environmental injustice.

9 But to do that, we need to act quickly, so we
10 thank staff for including a timeline to begin this
11 proceeding, but we also request staff to include a timeline
12 to produce actionable results and have that timeline ready
13 at the first proposed workshop over the summer.

14 So thank you again for leading on this critical
15 issue. We agree with staff recommendation and thank staff
16 for the collaboration and urge you to grant this petition.

17 Thank you.

18 MS. BADIE: Thank you.

19 Next, we'll hear from Lorenzo Kristov.

20 Lorenzo, if you can please approach the podium?
21 Please spell your name for the record. We're asking for
22 comments to be two minutes or less.

23 MS. KRISTOV: Okay. Hello. My name is Lorenzo
24 Christoph. L-O-R-E-N-Z-O, last name K-R-I-S-T-O-V. I'm an
25 independent consultant working with the Climate Center

1 largely, but speaking on my own behalf as someone who's
2 worked in electricity policy in California for 30 years,
3 including almost 19 years at the California ISO.

4 So I want to first of all say, I support the
5 staff recommendation and I applaud the Commission on
6 leadership on taking on this really important issue. Other
7 speakers have been very eloquent about the importance of
8 net-energy benefits and social cost. What I want to
9 emphasize really is the methodology gap in planning that
10 exists throughout the entire industry, not just in
11 California.

12 For 100 years, basically, we've thought of the
13 electricity system as bulk supply resources, high voltage
14 transmission, and we're still in a kind of mental habit of
15 thinking about DERs, distributed resources, as mainly being
16 behind the meter and providing demand response rather than
17 looking at them as a potentially very rich supply of
18 renewable energy at a time when the supply of renewable
19 energy needs to grow immensely.

20 Coming out of the SB 100 workshops, we talked a
21 lot about land use constraints and the time it takes to
22 build transmission and the time it takes, so there's huge
23 benefits in being able to locate supply resources close to
24 load. There's huge potential on the built environment.
25 The problem is that our planning methods don't know how to

1 evaluate the concept of building supply close to load.
2 What are the benefits of doing that? Historically, supply
3 close to load has meant things like fossil fuel plants, but
4 we don't have to be stuck in that anymore. We have
5 alternatives now with clean energy.

6 So what I want to really just emphasize is that
7 this proceeding that you're considering is really an
8 effort, an opportunity for California to exercise
9 leadership in an area that's really needed nationwide in
10 the industry. We simply don't have planning methods that
11 take into account the value, the benefits of building from
12 the bottom up, starting with houses, as one of the earlier
13 commenters said, then moving to the community level.

14 Thank you for your consideration.

15 MS. BADIE: Thank you.

16 Next, we'll hear from Joel Leong.

17 Joel, if you could please approach the podium?
18 Please spell your name for the record. We're asking
19 comments to be two minutes or less.

20 MR. LEONG: Thanks. My name is Joel Leong,
21 spelled J-O-E-L, and last name is spelled L-E-O-N-G. I'm a
22 retired mechanical engineer.

23 And so just thank you to the Commission for your
24 leadership on this issue. Apparently, other state agencies
25 are a little behind there. And please do everything in

1 your power to facilitate and expedite the transition from
2 fossil fuels to sustainable clean energy.

3 And I'm just going to have a lot of talking
4 points here, but the fellow advocates have spoken on it
5 already.

6 Just, I'm agreeing with the staff recommendation
7 to grant the substance of the petition and start those
8 proceedings. And I'd also like to emphasize to request a
9 timeline and schedule.

10 And pretty much that's it. Thank you.

11 MS. BADIE: Thank you.

12 Next, we'll hear from Charles Adams.

13 Charles, if you could please approach the podium?
14 Please spell your name for the record. We're asking for
15 comments to be two minutes or less.

16 MR. ADAMS: Adams, A-D-A-M-S.

17 As practiced, Senate Bill 100 conflates the
18 environment with union infrastructure projects. We worked
19 on your solar farms and they are environmental catastrophes
20 when compared with rooftop solar.

21 Policies reveal priorities. The CPUC's selected
22 benefits promote cost-plus union infrastructure contracts
23 and handouts to Wall Street tax equity investors. The
24 excluded benefits demote private investment, local
25 economies, ecosystem conservation, prime farmland, and

1 infrastructure cost reduction. Cal ISO has publicly
2 acknowledged that rooftop solar reduces transmission cost.
3 Power control systems certainly reduce distribution costs
4 for all ratepayers. Honest rates must credit this.

5 The number of mistruths promoted by current
6 policies are numerous. Private contracts are not public
7 works. Tariffs are not subsidies. Destroying 600
8 companies that created 40 percent of the solar market is
9 not a just transition. This has destroyed a lot of lives
10 and a lot of nature.

11 The United States constitutes five percent of the
12 world's population, consuming 24 percent of the world's
13 energy. It would take five planet Earths for everyone to
14 live like a U.S. resident. So by manipulating the numbers
15 to promote an all-infrastructure model, you're accelerating
16 many of the damaging cycles that create the current crisis.

17 Bornstein's numbers are wrong. We need to reach
18 100 percent clean energy while reducing consumption and
19 allowing nature to heal itself. Rooftop solar, tiered
20 rates, energy efficiency, local economies are being
21 excluded by the Newsom administration. Please correct this
22 accounting.

23 Thank you.

24 MS. BADIE: Thank you.

25 Next, we'll hear from Charlene Woodcock.

1 Charlene, if you could please approach the
2 podium? Please remember to spell your name for the record.
3 And we're asking for comments to be two minutes or less.

4 MS. WOODCOCK: Charlene Woodcock, C-H-A-R-L-E-N-E
5 W-O-O-D-C-O-C-K.

6 California needs to make clean, safe energy
7 available to low-income communities. I strongly urge the
8 Commission to approve the petition to consider non-energy
9 benefits and social costs. The legislature needs to
10 continue to consider local communities and how they are
11 affected by energy policy in terms of air and water
12 pollution, as well as land use, jobs, and health.

13 The rooftop solar companies have provided jobs up
14 and down California. The recent policy changes pushed by
15 the monopoly investor-owned public utilities are driving up
16 the cost of rooftop solar and putting these firms out of
17 business.

18 Currently, PG&E, supported by the CPUC, seems to
19 be intent on discouraging the most efficient, quickly-
20 achieved clean energy from rooftop solar on the many
21 available appropriate roofs in California. Instead,
22 they're reducing the net-energy rate and adding a new flat
23 tax in addition to their several recent rate increases, all
24 of which harms low and middle income California residents.

25 Net-energy metering repays the solar array owner

1 for the investment in solar that can return to the grid
2 excess energy produced. It's called -- sorry, that is
3 energy that PG&E and the other investor owned public
4 utilities do not have to obtain from other sources. Solar
5 roofs can especially benefit low-income families by
6 reducing their energy bills.

7 Energy from local sources needs no additional
8 transmission lines, saving the utilities a significant
9 expense required by new transmission lines for industrial-
10 scale solar and preventing the environmental harms that
11 industrial scale solar can cause.

12 A much more rapid electrification and significant
13 reduction of the use of gas is necessary for going to slow
14 climate change, necessary for the health of children and
15 the elderly. We need the state to bring clean energy up to
16 the local level rather than focusing on industrial-scale
17 solar.

18 Thank you.

19 MS. BADIE: Thank you.

20 Next, we have from Yvette DiCarlo.

21 Yvette, if you can please approach the podium?
22 Please remember to spell your name for the record. We're
23 asking for comments to be two minutes or less.

24 MS. DICARLO: Hi, my name is Yvette DiCarlo,
25 Y-V-E-T-T-E, last name is D-I-C-A-R-L-O. Thank you for

1 taking up this petition, and I do urge the Commission to
2 grant the petition today.

3 As a public citizen, it's critical to counter the
4 utility's disinformation campaign, especially against
5 rooftop solar. They say that its recent proliferation has
6 created an enormous cost shift to low-income ratepayers in
7 particular.

8 Utilities used to love rooftop solar. In fact,
9 it was maybe six or seven years ago when they were touting
10 it in its press releases that it helped them comply with
11 their renewable portfolio standard requirements. But
12 somehow that has shifted.

13 And what's not to like about rooftop solar?
14 Private citizens invest their own money. They avoid
15 expensive EIR costs, time delays for generating
16 electricity. They save open space and have many other
17 social and economic benefits. And also, solar rooftop
18 customers pay an infrastructure fee. Contrary to popular
19 belief that they don't, they absolutely do, it's written in
20 their bills, so these costs must be accounted for during
21 rulemaking.

22 One other thing I wanted to point out is last
23 week the assembly held an information hearing and a
24 gentleman from TERN (phonetic) was talking about how people
25 inland who live in very hot climates are going to be

1 cranking their AC and may not be able to afford the
2 skyrocketing cost. This is when rooftop solar shines,
3 literally. It's when it's at its best. It's the fastest
4 way to deploy electricity that's going to be badly needed
5 as we continue to see hotter and hotter days being
6 experienced in the Inland Valley.

7 So again, I just want to urge you to comply with
8 this -- or to grant the petition and keep these
9 considerations on the forefront of your minds.

10 Thank you very much.

11 MS. BADIE: Thank you.

12 And before we transition to Zoom, I just want to
13 make sure I've covered everyone in the room. All right, so
14 no one's waving their hand at me.

15 We're going to transition to zoom.

16 Oh, do we have one more?

17 MS. MALINOWSKI-BALL: Yeah. Sorry. My name
18 wasn't called. I'm Julie Malinowski-Ball. On behalf of
19 the California Biomass Energy Alliance, J-U-L-E-E
20 M-A-L-I-N-O-W-S-K-I hyphen Ball, B-A-L-L. I represent the
21 California Biomass Energy Alliance.

22 CBEA actually welcomes the decision here today
23 and the conversation that will ensue. That is because the
24 biomass industry has numerous non-energy benefits. In
25 fact, it's our middle name. That is because the industry

1 partly takes over six and a half million tons of wood waste
2 every year that would otherwise be used, it's used as fuel,
3 and otherwise be open burned, clod the landfills or left in
4 the forest decay and become fire hazard in the forest.

5 Our scientists at UC Berkeley, UC Davis, and many
6 others have touted the air quality benefits of biomass
7 energy. In fact, we know the benefits when some biomass
8 facilities closed in the last decade. Open burning of
9 crops and other wood waste nearly tripled in the Central
10 Valley, creating a much more devastation air quality issue
11 for that area.

12 So biomass is a solution far beyond the energy
13 benefits, and we really look forward to this conversation.

14 Thank you for the opportunity to speak today.

15 MS. BADIE: Thank you.

16 All right, anyone else in the room before I
17 transition to Zoom?

18 All right, Claire Broome, I'm going to open your
19 line. If you could please spell your name for the record?
20 We're asking for comments to be two minutes or less.

21 MS. BROOME: Good morning, Commissioners. I'm
22 Claire Broome. I'm representing 350 Bay Area, and we are
23 one of the signatories to the petition.

24 So you've heard an eloquent discussion of the
25 importance of environmental justice in this petition, and

1 also the fact, as Lorenzo Kristov stressed, that local
2 planning is the essential element.

3 What I'd like to add to the discussion is non-
4 energy benefits could also be considered as missing values.
5 And since the CEC is such a central agency for planning
6 California's energy future, the absence of these missing
7 values distorts your energy planning. And I hope that this
8 petition will be granted with a very swift timeline and
9 taken really seriously as central to your energy planning.

10 What do I mean by missing values? Okay, what's
11 the value for speed? You have asked California to go from
12 35 gigawatts of renewable to 73 gigawatts by 2030. The
13 fastest way is local. No transmission. If you put front
14 of the meter, storage and solar, we'll get there.

15 Number two, resilience. Ninety-eight percent of
16 outages are on the distribution grid.

17 Number three, land use. You've heard a couple of
18 eloquent comments about how brownfields and warehouses can
19 really help spare our deserts and forests.

20 Finally, costs. We have an electricity crisis in
21 cost in California. And the Public Advocate's Office just
22 released a model where we saved \$35 billion by 2030, just
23 by EV charging out of peak.

24 So the final point I'd make is we're not starting
25 from scratch. I think there's a lot to build on, both for

1 SB 100 and for non-energy benefits calculation in general.
2 So I really look forward to this process and thank you for
3 your consideration.

4 MS. BADIE: Thank you.

5 Next, we'll hear from Kevin Hamilton.

6 Kevin, I'm going to open your line. If you could
7 please spell your name for the record? We're asking for
8 comments to be two minutes or less.

9 MR. HAMILTON: Good morning, Commissioners.

10 Kevin Hamilton, Senior Director of Government Affairs for
11 Central California Asthma Collaborative and a petitioner
12 here. Thank you for hearing our petition and we thank you
13 for considering it and recommend that you approve as staff
14 has recommended.

15 Non-energy benefits are something that we have
16 been pushing toward the CEC and the many, many projects
17 that it funds for quite a number of years now. Non-energy
18 benefits, we use the word benefits a loss, but it's the
19 cost as well. And we see those every day in the homes of
20 the asthmatics that we take care of up and down the San
21 Joaquin Valley. Dr. Jackson earlier did a great job of
22 presenting information from homes in Bakersfield, many of
23 which we referred to his program that do house asthmatic
24 children and vulnerable older adults.

25 One of the things that we can do is look to those

1 who've already walked this path before us. The
2 International Energy Agency has been doing this work for
3 the past 20 years.

4 We can look to the EU to note that they've been
5 implementing energy efficiency strategies in homes and
6 businesses for over 15 years now. They believe that this
7 has allowed them to avoid even adding another power plant,
8 the effect is so immense.

9 They have calculations already built for the cost
10 and savings of these benefits and the variety of savings in
11 the various parts of our daily living are pretty
12 incredible. We have a healthier workforce, we have more
13 money in the pockets of folks in those homes. We have
14 healthier people so that they're able to go to work.

15 And generally, we're able to have the technology
16 to literally take a home or a business off the grid with
17 the technology that we have and become an energy provider
18 rather than an energy user.

19 Yet we seem to hold back on those interventions
20 and instead we continue to invest in combustion-based
21 energy sources, and that just has to stop.

22 Thank you for your time today. We appreciate it.

23 MS. BADIE: Thank you.

24 Next, we'll hear from Barbara Stebbins.

25 Barbara, I'm going to open your line. If you

1 could please spell your name for the record? We're asking
2 for comments to be two minutes or less.

3 MS. STEBBINS: My name is Barbara Stebbins,
4 B-A-R-B-A-R-A S-T-E-B-B-I-N-S. I work with Jessica Tovar,
5 who you heard from earlier at Local Clean Energy Alliance.
6 I appreciate the Commission for taking up this issue of
7 non-energy benefits.

8 LCEA's work is advocating for energy policies
9 that bring equity to underserved frontline communities.
10 These communities must be prioritized for community-based
11 renewable energy resources, such as rooftop solar and
12 battery storage.

13 Through our work, we know the value of non-energy
14 benefits that come with local clean energy resources. For
15 instance, reduced emergency room visits because of asthma,
16 as we just heard, when gas stoves are replaced with
17 electric stoves. The ability to have cooling from heat
18 pumps during extreme heat events, even if the grid goes
19 down. The ability to keep refrigerators going so food
20 doesn't spoil. It has been hard to deal with state-level
21 decisions that do not take into account non-energy benefits
22 when making crucial decisions about the value of local
23 energy resources.

24 We are pleased that the Energy Commission is
25 considering doing just that, and we urge the Commission to

1 grant the petition with the adjustments that staff is
2 recommending, but a good timeline to make sure it happens.

3 Thank you.

4 MS. BADIE: Thank you.

5 Next, we'll hear from Julie -- Julia Dowell,
6 excuse me.

7 Julia, I'm going to open your line. If you could
8 please spell your name for the record? We're asking for
9 comments to be two minutes or less.

10 MS. DOWELL: Good morning, Commissioners. My
11 name is Julia Dowell, J-U-L-I-A D-O-W-E-L-L. I'm a Senior
12 Field Organizer with Sierra Club. Thank you for taking
13 leadership on this critical issue of considering non-energy
14 benefits in energy planning.

15 Sierra Club agrees with the staff recommendation
16 to grant the substance of the petition and open a
17 proceeding. We also request that staff prepare a timeline
18 and schedule to kick off this proceeding.

19 It is imperative that the CEC accounts for the
20 local impacts of energy resources when deciding which
21 resources to procure to meet the state's ambitious clean
22 energy goals. For years, frontline communities near gas
23 plants have been exposed to high levels of pollution
24 because the cost-benefit analysis of resource procurement
25 did not account for their health and environmental impacts

1 when deciding what resources to utilize.

2 It is vital that the impacts to communities air
3 and water be a driving force in deciding which energy
4 resources the state procures. This means that the CEC must
5 consider the social and health costs to the local
6 environment from biofuels, fossil fuels, and carbon capture
7 in its cost-benefit analysis, in its modeling and planning.
8 Once we account for the extreme negative externalities of
9 fossil fuels and incorporate those costs into a more
10 accurate cost-benefit analysis, we will be able to realize
11 the full advantage of clean energy resources and prioritize
12 putting those resources in disproportionately impacted
13 communities.

14 Considering non-energy benefits can also unlock
15 additional federal funds that prioritize DERs and reduce
16 local pollution, which will be able to reach environmental
17 justice communities. This will also help the state reach
18 its SB 100 goals while better prioritizing its social
19 justice goals.

20 In closing, the Sierra Club agrees with the staff
21 recommendation, and we thank the staff and Commissioners
22 for your leadership in moving toward a more just and
23 equitable clean energy decision-making process.

24 Thank you.

25 MS. BADIE: Thank you.

1 Next, we'll hear from Magi Amma. I'm going to
2 open your line. If you could please spell your name for
3 the record? And we're asking for comments to be two
4 minutes or less.

5 MS. AMMA: Can you hear me?

6 MS. BADIE: Yes.

7 MS. AMMA: Thank you. My name is Magi Amma,
8 M-A-G-I A-M-M-A, and I am representing the Climate Alliance
9 of Santa Cruz County. I want to thank you for taking up
10 this petition.

11 I support the staff recommendation to grant the
12 substance of the petition and open the proceeding, please.
13 Please prepare a timeline and schedule to resolve the
14 proceeding. Time is of the essence.

15 I am asking you to add the non-energy and social
16 costs. Consideration of non-energy benefits will unlock
17 additional funds for local clean energy solutions to
18 promote public health and environmental justice in other
19 low-wealth communities. The State must determine how to
20 reach and fund more clean energy investments in
21 environmental justice and other low-wealth communities to
22 simply meet SB 100 and our climate targets.

23 Thank you again.

24 MS. BADIE: Thank you.

25 Next, we'll hear from Sahn White.

1 Sahm, I'm going to open your line. If you could
2 please spell your name for the record? We're asking for
3 comments to be two minutes or less. Sahm, your line is
4 open.

5 MR. WHITE: My name is Sahm White, S-A-H-M
6 W-H-I-T-E, independent consultant.

7 I want to thank you for taking up consideration
8 of non-energy benefits. As a consultant on energy policy
9 for numerous non-profits engaged in dozens of formal
10 proceedings, I've long advocated for this at the CPUC in
11 particular which, despite expressing attention to equity
12 and development of a societal cost test over many years,
13 has yet to adopt or apply consistent consideration of
14 societal costs and benefits. Leadership from the Energy
15 Commission is needed and appreciated.

16 Policy development and decision-making on narrow
17 energy-only factors inherently fails to consider the
18 context and holistic impacts of such policies, with
19 potentially profound impacts on the people of California
20 and our environment. Clear guidance directing appropriate
21 consideration of all realized impacts and benefits, both
22 short and long term, is essential for cohesive and
23 effective policy development.

24 I would like to express my support for the staff
25 recommendation to pursue this matter and recommend adding a

1 clear timeline for consideration and near-term
2 implementation to help better achieve multiple state goals.

3 Thank you very much.

4 MS. BADIE: Thank you.

5 Next, we'll hear from Wade.

6 Wade, I'm going to open your line. If you could
7 please state and spell your name for the record? We're
8 asking for comments to be two minutes or less.

9 MR. STANO: Thank you, Commissioners. Wade
10 Stano, W-A-D-E S-T-A-N-O, with MCE. MCE offers strong
11 support of the Commission's staff recommendation to adopt
12 an OIIP on non-energy benefits and social costs.

13 MCE is a community choice aggregator who provides
14 clean electricity service and clean energy programs to 37
15 member communities across Contra Costa, Marin, Napa, and
16 Solano counties. MCE is a program administrator of energy
17 efficiency, demand response, and decarbonization-focused
18 programs serving residential, commercial, agricultural, and
19 industrial customers.

20 Because of its experiences, MCE strongly supports
21 studying, valuing, and making planning, program design,
22 implementation, evaluation, and broader investment
23 decisions informed by non-energy benefits and social costs.
24 MCE believes NEBs and social cost-rooted decision-making
25 will to deliver greater health, safety, comfort,

1 affordability benefits, in addition to greenhouse gas
2 emissions reductions. MCE recognizes the lack of
3 evaluation and consideration of NEBs and social costs
4 presently as a key barrier to beneficial, clean and
5 community-led investments in environmental and social
6 justice communities.

7 MCE thanks the petitioners for its courageous
8 leadership, bringing this critical petition forward and the
9 Commission staff for its thoughtful recommendation today.
10 MCE looks forward to partnering with all stakeholders on
11 next steps to ensure the state's clean energy programs and
12 planning decisions equitably benefit all Californians.

13 Thanks very much for your time.

14 MS. BADIE: Thank you.

15 Next, we'll hear from Marc Costa.

16 Marc, I'm going to open your line. If you could
17 please spell your name for the record? We're asking for
18 comments to be two minutes or less.

19 MR. COSTA: Hi. Good morning. This is Marc
20 Costa, M-A-R-C C-O-S-T-A. I'm the past Chair and current
21 board member of LGSEC, the Local Government Sustainable
22 Energy Coalition. LGSEC is a statewide nonprofit that
23 represents over two-thirds of the state's population
24 through our membership. LGSEC strongly supports the OIIP
25 and clear timelines.

1 Local governments have a significant
2 responsibility when it comes to meeting local climate
3 action planning, which contributes to state goals. There's
4 tremendous responsibility in land use and planning, passing
5 local policies such as building performance standards.

6 NABs are critical in that they reflect that
7 buildings are where multiple policies intersect, carbon,
8 social, environmental, economic. As the CEC embarks on the
9 IEPR updates, the SB 100 joint agency efforts, the relaunch
10 of the Existing Buildings Energy Efficiency Action Plan and
11 numerous other statewide policy actions. NEBs are a
12 critical step to accelerate the decarbonization of our
13 building stock and state's goals. IEPR Recommendation 3
14 calls for more granularity and demand forecasting and
15 resource planning. AAEE and AAFS are increasing in
16 unprecedented ways to get us to 2050.

17 So as we try to unlock the funds on equity and
18 deliver benefits to those that need it most in our equity
19 segments and income qualified customers, they require
20 unique support and that needs to be reflective of non-
21 energy benefits. The building industry is not on track
22 including, according to the global status update on
23 buildings and climate. We're just not on target to meet
24 our state and our global climate goals, and California is a
25 critical part of that. We're not in a bubble in

1 California. We need to contribute our leadership, exporter
2 thought capital, and leadership and policy in that area.

3 So the urgency is there. All indicators have
4 never been more clear that something needs to change. NEVs
5 are a critical piece to unlock that. And that petition is
6 the next step to put the state of California as a leader in
7 achieving our climate goals.

8 Thank you.

9 MS. BADIE: Thank you.

10 Next, we'll hear from Steve Campbell.

11 Steve, I want to open your line. And if you
12 could please spell your name for the record? We're asking
13 for comments to be two minutes or less. Steve, your line
14 is open. You'll have to unmute on your end.

15 MR. CAMPBELL: Oh, good morning. Almost good
16 afternoon, Commissioners. My name is Steve Campbell,
17 S-T-E-V-E, Campbell, C-A-M-P-B-E-L-L. I'm at Vote Solar.

18 Thank you, CEC, for taking leadership on a long
19 overdue goal. I have been tracking efforts to measure and
20 quantify NEBs since 2013 across three different
21 organizations. I first witnessed the impact of not
22 incorporating non-energy benefits and the energy efficiency
23 rolling portfolio rulemaking. And more recently, I have
24 witnessed the same impacts of not incorporating NEBs on
25 distributed generation decisions.

1 I'm glad the CEC staff have recognized that NEBs
2 are important and agree with the staff recommendation to
3 open a proceeding. I do request that staff prepare a
4 timeline and schedule to ensure this positive momentum
5 moving into the 2025 SB 100 update.

6 Thank you.

7 MS. BADIE: Thank you. And that concludes public
8 comment for item five.

9 Right back to you, Chair.

10 CHAIR HOCHSCHILD: Thank you to all of you for
11 providing public comment on item five.

12 We'll turn now to Commissioner discussion,
13 starting with Vice Chair Gunda.

14 VICE CHAIR GUNDA: Thank you, Chair. And just
15 want to extend my sincere gratitude to all the commenters
16 today on just expressing the spirit and need for engaging
17 hopefully on considering the next discussion. I have a few
18 substantive comments.

19 Before I go into that, I just want to thank our
20 staff, EAD, under the leadership of Aleecia and Liz Gill,
21 our PAO under the incredible leadership of Mona, and our
22 Chief Counsel's Office, both Chad and Lisa, who have worked
23 really hard in making sure the petition is honored, the
24 speed of the petition is honored, the substance of the
25 petition is honored, and there was a pathway forward for us

1 to consider today as a Commission. So I really want to
2 thank our staff for the work, the thoughtful work that
3 they've done on this.

4 I also want to recognize, as we -- specifically
5 to Roger Lin's comments today on the time he has spent on
6 the DACAG and the time he has spent on advocating for NBEs
7 to be a part of the conversation. I've had a chance to
8 meet with the petitioners and a chance to speak to --

9 CHAIR HOCHSCHILD: Sorry, Vice Chair. Sorry.

10 VICE CHAIR GUNDA: Yes?

11 CHAIR HOCHSCHILD: Yeah, just because you're out
12 of the country, our Chief Counsel's Office needs you to
13 affirm that there is nobody with you in the room over the
14 age of 18.

15 VICE CHAIR GUNDA: Yes, nobody here.

16 CHAIR HOCHSCHILD: I'm not sure why we --

17 VICE CHAIR GUNDA: Yeah.

18 CHAIR HOCHSCHILD: I'm just inquiring.

19 VICE CHAIR GUNDA: Sorry.

20 CHAIR HOCHSCHILD: Okay, so go. Please continue.

21 VICE CHAIR GUNDA: Yeah, my bad. I forgot to
22 mention that. So, yes, I am by myself in the hotel room.

23 But I just wanted to just amend the conversation
24 that I was able to have with the petitioners, led by Roger,
25 on really thinking through how best to organize this.

1 So as we move forward in this decision, which I
2 am completely supportive of, you know, and would consider,
3 I would imagine all of our Commission members would be
4 supportive of this without a question, I just wanted to
5 raise a couple of pieces for thinking this through.

6 One, the CEC's role in energy planning. The CEC
7 has this opportunity to be a neutral venue for ideating on
8 ideas, on different things. We have done this incredibly
9 well on land use in the 2015-2016 timeframe. Land use was
10 not a part of our planning processes, which is standard
11 today, but it started off more of an ideation on
12 understanding what are the different ways to include that
13 in planning.

14 We also want to recognize as we do that, it's an
15 iterative process, it takes time. And it is only
16 successful if we as a state agency bring and work well with
17 all of our other state agencies and harmonize the efforts
18 together and I do not want to lose that spirit here.

19 I want to recognize that the success of CEC in
20 doing this work completely rests on our ability to convene
21 a process that brings all the stakeholders, including our
22 state agencies, in harmonizing the various efforts and
23 using our unique ability of being a neutral venue forward
24 this conversation.

25 I also want to recognize that some of the asks of

1 the petition was to make sure that we include, you know,
2 the results of this effort into the SB 100. I do not want
3 to set false expectations and fail. The SB 100 timeframe
4 is pretty well laid out. I would not foreclose that we are
5 not able to benefit from this proceeding, but I think we
6 might have to be creative in thinking through how to think
7 about NEBs in the conversation, just the 2025 SB 100
8 report.

9 We have discussed, with a few petitioners, the
10 ideas of the mix of medicinal (phonetic) sensitivities,
11 potentially developing clarity on some of the scenarios we
12 are considering and making sure that becomes a part of the
13 SAP 100 process.

14 Again, I do not want to foreclose any of the
15 ideas to move forward from here. But I also want to be
16 realistic in our expectation setting that we don't set
17 expectations and make people unhappy or just fail people
18 and continue to fail people.

19 The one other element I want to really raise as
20 we think this through is the importance of the members, the
21 petitioners, to really have a liaison that works with our
22 planning team. The next conversation, along with SB 100 or
23 forecasting and many of their modeling things that we do,
24 are pretty complex. And it would be most beneficial if we
25 have the opportunity of the petitioners to be actually a

1 part of that process and really follow the different
2 elements of the modeling work.

3 And one of the things that we've discussed with
4 the petitioners is maybe there is an entity that the
5 petitioners feel more comfortable, more confident, more
6 trusting of and, you know, that entity becomes really a
7 part of our staff work and really tracks the work to make
8 sure that they truly understand all the work as they
9 provide feedback and improve on the existing work.

10 So with all that in the background, I really want
11 to commend our staff again, really want to thank the
12 petitioners for pushing the state agencies to continue to
13 work on these important elements. I'm absolutely
14 supportive of this work. And, you know, thank you for the
15 opportunity, I'm speaking directly to the petitioner, for
16 meeting with me and working with our staff to come up with
17 a creative path here.

18 I do want to, again, reemphasize that the success
19 of any of the work we do at the CEC is only as good as our
20 ability to foster trust and the ability to move all the
21 state agencies, their work harmonizing, and the requests we
22 get from everybody in a cohesive togetherness forward.

23 So as the Commission deliberates on voting on
24 this, I would also request Commissioner Gallardo if she
25 would be willing to BK with me on this particular area.

1 So with that, I would really ask you, Chair, and
2 also just thank you for your unwavering support,
3 Commissioner Monahan's support, Commissioner Gallardo's
4 support, as well as Commissioner McAllister's support. I
5 feel blessed to have the Commission colleagues we have here
6 who immensely care about this. And so as I seek your vote
7 on this, I would request that we also empower Commissioner
8 Gallardo to be a part of this work.

9 CHAIR HOCHSCHILD: Well, thank you so much, Vice
10 Chair. And I just want to recognize it's 12 and a half
11 hours ahead in India where you are now and you're higher
12 functioning after midnight in India than we are here in the
13 middle of the day. Thank you so much for all your hard
14 work.

15 And, you know, for the stakeholders that have
16 been working with the Vice Chair on this issue, I just want
17 to emphasize how much is on his plate. Because in addition
18 to issues like this, he's dealing with grid reliability and
19 some of the price gouging issues associated with the
20 petroleum market and so much else around SB 100. And we're
21 just incredibly, incredibly grateful for all of his
22 contributions and hard work on this issue.

23 With that, I'd open it up to Commission
24 discussion, starting with Commissioner Gallardo.

25 COMMISSIONER GALLARDO: Thank you so much.

1 So Vice Chair Gunda, I also want to elevate your
2 leadership and appreciate you asking me to be you're
3 Associate Commissioner on this potential proceeding. And
4 by BK, you mean Bagley-Keene, and that's, if the public
5 isn't aware, just a way for us to ensure that two
6 Commissioners can work together on a proceeding without
7 violating any laws. So I would be honored to join you on
8 this proceeding if it is voted -- if it is approved, excuse
9 me.

10 And I also want to highlight that we had about 13
11 folks who commented today. So really value the time you
12 took to do that because I know we know time is precious.
13 And the 16 organizations also who were able to sign onto
14 this petition and also work with our staff to engage and
15 collaborate, I really appreciate that because you made an
16 ask. It could have been a quick and blunt response we had,
17 but instead there was this engagement done to get to a
18 really thoughtful solution, even though it's different than
19 what was originally asked, I think it landed in a better
20 place.

21 So again, I'm really excited about that and,
22 again, grateful for the folks who spent their time with us
23 today to comment.

24 And I also wanted to emphasize to Bob Cippola,
25 who shared his personal experience. I'm not sure if he's

1 still in the room today, but also that was a traumatic
2 catastrophic experience he went through and turned it into
3 something very positive and was willing to share that
4 today, so I also appreciate that.

5 I'll leave it at that.

6 CHAIR HOCHSCHILD: Thank you.

7 Commissioner Monahan?

8 COMMISSIONER MONAHAN: Well, just very quickly, I
9 want to thank Roger Lin for his leadership on this issue
10 and his leadership generally with the Disadvantaged
11 Communities Advisory Group. He's really been an
12 instrumental leader and partner in this, so just thank him
13 for bringing this forward.

14 And for all the folks that have come here today,
15 either virtually or in person to provide input, it was
16 clearly very heartfelt.

17 And I want to thank and acknowledge Vice Chair
18 Gunda for his leadership here, too, and the creative
19 solution. We don't want to slow down SB 100. We want to
20 make sure that we integrate the, the learnings from this
21 process into SB 100 but not slow it down. And I actually
22 think this will allow for a richer discussion.

23 It is from my experience in the fuels and
24 transportation division, we've been working on a community
25 benefits work for a while now and it's actually, you know,

1 to really think through how to calculate a community
2 benefit, how to estimate what it is, and how to ensure that
3 we have some kind of record of that. It takes a lot of
4 work and time and stakeholder input. So I think this
5 process actually will allow for a deeper, richer
6 conversation around non-energy benefits and impacts.

7 So I look forward to supporting this.

8 CHAIR HOCHSCHILD: Great.

9 With that, I would welcome a motion from Vice
10 Chair Gunda on item five.

11 MS. DECARLO: Oh, really quickly. Sorry,
12 apologies. We do not have -- the order doesn't currently
13 have Commissioner Gallardo as Associate Member. So I would
14 just suggest including in your motion the addition of
15 Commissioner Gallardo in the order instituting information.

16 CHAIR HOCHSCHILD: Oh, thank you for clarifying.

17 So, Vice Chair, if you could include Commissioner
18 Gallardo as your Bagley-Keene partner as part of the
19 motion, that'd be great.

20 VICE CHAIR GUNDA: Yeah, thank you, Chair. I
21 think with a deep sense of humility, and both an honor kind
22 of and with the steps of courage, I'm going to, you know,
23 ask for us to move the motion on five, including adding
24 Commissioner Gallardo as the Bagley-Keene on this.

25 CHAIR HOCHSCHILD: Thank you.

1 Is there a second from Commissioner Gallardo?

2 COMMISSIONER GALLARDO: I second.

3 CHAIR HOCHSCHILD: All in favor, say aye.

4 Vice Chair Gunda?

5 VICE CHAIR GUNDA: Aye.

6 CHAIR HOCHSCHILD: Commissioner Gallardo?

7 COMMISSIONER GALLARDO: Aye.

8 CHAIR HOCHSCHILD: Commissioner Monahan?

9 COMMISSIONER MONAHAN: Aye.

10 CHAIR HOCHSCHILD: And I vote aye as well. Item
11 five passes four to zero.

12 What we're going to do at this point, I'm sorry,
13 Jim and team from LBNL, but we're going to take up item six
14 right after. We have a closed session on item 28 that
15 we're going to adjourn for.

16 We will come back. We have a long agenda. I'd
17 like to reconvene at 12:45 and we'll take up item six.
18 Thank you.

19 (The Commission recessed into closed session from
20 11:54 a.m. until 12:55 p.m.)

21 CHAIR HOCHSCHILD: Thank you and welcome back,
22 everybody. We will continue. Closed session is completed,
23 no actions were taken, and we will move on to item six. I
24 do want to apologize, we had to end the session, got
25 restarted, so my apologies for that. But we're back on,

1 and I wanted to move now to item six, which is an
2 information item, Lawrence Berkeley National Laboratory
3 presentation on the lithium resource in California.

4 And welcome Chuck Gentry and Patrick Jobson from
5 LBNL to present. Yeah, a button there. Do you have a
6 button? Is that mic on? Pop it.

7 MR. GENTRY: Is it on? Yeah, it's on.

8 CHAIR HOCHSCHILD: It's on now. There you go.
9 Thank you.

10 MR. GENTRY: Good morning, Chair and
11 Commissioners. My name is Chuck Gentry and I work in the
12 Energy Research and Development Division.

13 Let's go to the slides. All right, next slide.

14 The Energy Commission has invested over \$16
15 million in grant funding into lithium recovery technologies
16 and geothermal projects in the Salton Sea region. The
17 Commission continues to support Lithium Valley with
18 additional grant funding. There are currently two active
19 funding opportunities.

20 Next slide.

21 The \$23 million EPIC solicitation was recently
22 released with the purpose of reducing costs associated with
23 corrosion and scaling and advancing technologies to improve
24 the process and profitability of mineral recovery from
25 Salton Sea geothermal brine. Applications are due April

1 15th. Next slide.

2 The Geothermal Grant and Loan Program released a
3 solicitation to fund projects focused on geothermal energy
4 and lithium recovery from geothermal grind. This will be a
5 two-phase solicitation. Phase 1 is for technical
6 assistance to develop the full application. Phase 2 has
7 \$4.5 million available for the full projects. The deadline
8 for phase two will be in the fourth quarter of 2024.

9 Next slide.

10 Now I'd like to turn the time over to Patrick
11 Dobson from LBNL to provide us with an overview of a
12 project recently completed dealing with the characterizing
13 the geothermal lithium resource in the Salton Sea. And
14 although the Energy Commission did not fund this project,
15 Patrick has been generous enough to come here and provide
16 results for our information.

17 MR. DOBSON: Thanks, Chuck, and good afternoon,
18 Chair, Vice Chair, and Commissioners. Thanks very much for
19 the invitation to share a brief summary of our team's
20 research results with you.

21 As Chuck mentioned, our study focused on
22 characterizing the lithium resource associated with the
23 brines from the Salton Sea geothermal field. Our team
24 consists of scientists and engineers from Berkeley Lab,
25 from UC Riverside, UC Davis, MIT, the University of

1 Auckland, Yale University, and Geologica, and our project
2 was funded by the DOE's Geothermal Technologies Office.

3 Next slide, please. So next slide.

4 So just to give you a quick overview of our
5 presentation, I'd like to give you some background for our
6 study, describe the lithium and geothermal resource
7 characterization work that we conducted, provide a few
8 selected details related to the identified environmental
9 impacts, and talk about some of our community engagement
10 efforts. I'll then try and answer any questions that you
11 might have at the end of the presentation.

12 Next slide, please.

13 We've all heard how lithium is one of several
14 critical elements needed for the energy transition. It's a
15 key component of batteries needed for electric vehicles,
16 for our cell phones, and for energy storage to help address
17 the duck curve.

18 This here on the slide is showing a cartoon
19 depicting geothermal production and injection wells in a
20 geothermal power plant. Right now, we have hot fluids that
21 come from a production well. They're flashed to create
22 steam, which is used to drive a turbine and generate
23 electricity. The remaining hot brine would normally be
24 reinjected back into the geothermal reservoir. If the
25 brine contains valuable components, such as lithium, these

1 could be directly recovered from the brine before it's
2 reinjected back underground. This is the basic concept for
3 extracting lithium from geothermal brines.

4 It is important to note that the lithium-bearing
5 geothermal brines are coming from a reservoir deep
6 underground, and it is not connected to the Salton Sea
7 itself.

8 Next slide, please.

9 So the Imperial Valley is now being called
10 Lithium Valley due to the high concentrations of lithium in
11 the geothermal brines from the Salton Sea geothermal field.
12 Commercial geothermal operations have been going on for
13 about 40 years at the field, which is currently generating
14 about 400 megawatts electricity.

15 While the presence of lithium has been known for
16 decades, the increased demand for lithium has spurred
17 companies to develop projects to recover the lithium from
18 the geothermal brine. This slide gives you an update of
19 where these activities are for the three main companies
20 involved in developing commercial geothermal lithium
21 recovery operations.

22 Berkshire Hathaway Energy Renewables, also known
23 as CalEnergy, currently operates 10 of the 11 geothermal
24 power plants at the Salton Sea geothermal field. And
25 they've built a pilot-scale lithium chloride recovery

1 facility that began operations in 2022, which was partly
2 funded by the California Energy Commission. BHER is
3 planning to construct another pilot facility to convert the
4 lithium chloride to lithium carbonate.

5 Energy Source Minerals, whose facilities are
6 located at the John Featherstone, or Hudson Ranch, Power
7 Plant has completed their pilot studies and plan to break
8 ground on constructing a commercial-scale lithium recovery
9 facility that would produce 19,000 tons of lithium
10 hydroxide monohydrate every year.

11 Controlled Thermal Resources held their
12 groundbreaking ceremonies on January 26th of this year for
13 a 50-megawatt power plant and lithium recovery facility
14 that is designed to produce 25,000 tons of lithium
15 hydroxide monohydrate every year as well.

16 It is important to note that while direct lithium
17 extraction technologies have been tested at the lab scale,
18 they have not yet been proven at a commercial scale on
19 these challenging hot and salty geothermal brines.

20 Next slide, please.

21 So our DOE-funded study focused on addressing
22 these following research questions. How much lithium is
23 present? Where does it come from? How much is
24 recoverable? How long will it last? And what are the
25 environmental impacts that potentially could occur from

1 recovering this lithium? And then finally, what are the
2 priorities and concerns of local stakeholders in the
3 community?

4 Our study did not look at the topics such as
5 economic impact, the effectiveness of these different
6 lithium recovery technologies, the issues of job creation
7 and training and public health. Our study was limited to
8 the Salton Sea geothermal field, but there is evidence that
9 lithium rich geothermal brines are present at other parts
10 of Imperial Valley.

11 Next slide, please.

12 So we'll now take a look at our work on the
13 characterization of the lithium and geothermal resources of
14 the Salton Sea geothermal field.

15 Next slide, please.

16 So how much lithium is present? We first
17 addressed the question by determining the size of the
18 geothermal reservoir, i.e., its aerial extent and its
19 thickness, how much brine is contained in the reservoir,
20 the pore space of the reservoir itself, and then to try and
21 evaluate how much lithium is contained in the brine. What
22 is the concentration of lithium in these geothermal brines?

23 We looked at three different cases using numerous
24 published reports supplemented by data available from the
25 California Geologic Energy Management Division here at

1 CalGEM. The first scenario was for the proven geothermal
2 resource, and that's this area outlined on the right by the
3 white dashed line, which is where we have extensive
4 evidence from geothermal wells that there is a geothermal
5 resource containing lithium present at that site. For this
6 case, which corresponds to the footprint, as I mentioned by
7 the white line, we came up with an estimate of 0.76 million
8 tons of lithium, which is equivalent to 85 million EV
9 batteries.

10 The second case is for the probable extent of the
11 geothermal resource at the Salton Sea area using available
12 geologic and geophysical data to estimate the full size of
13 the reservoir, which corresponds to the area outlined in
14 that red line. And for this case, the reservoir contained
15 3.4 million tons of lithium, equivalent to about 380
16 million EV batteries.

17 If the portion of the reservoir that lies below
18 the surface of the Salton Sea is excluded from the probable
19 case, we come up with the intermediate or what we call the
20 accessible reservoir, and that would have a resource of 2.6
21 million tons of lithium.

22 Note that these estimates represent the lithium
23 in place in the subsurface brines, and that the amount of
24 lithium that would be commercially recoverable would be
25 less than that value.

1 Next slide, please.

2 We can also look at the amount of lithium that's
3 currently being produced and estimate how much lithium it
4 contains, how much of the brine in that lithium is present.
5 The present-day brine flow contains about 21 and a half
6 thousand tons of lithium, which is equivalent to 114,000
7 tons of lithium carbonate equivalent. This lithium is
8 currently being reinjected with the brine back into the
9 geothermal reservoir.

10 So developers have announced plans to double the
11 current geothermal output of the Salton Sea geothermal
12 field from its current size of 400 megawatts to 800
13 megawatts. And that would result in the doubling of the
14 lithium being brought to the surface. The global demand
15 for lithium in 2024 is expected about 190,000 tons of
16 lithium. Thus, even just recovering the lithium contained
17 in the current brines being produced would account for more
18 than ten percent of the world's current lithium demand, and
19 that's the graph on the right-hand side.

20 Note that the demand for lithium will continue to
21 grow as the transportation sector becomes electrified and
22 that current lithium supplies are projected to not be able
23 to meet this demand. Thus, the geothermal lithium from the
24 Salton Sea geothermal field could play a very important
25 role in addressing this issue.

1 Next slide, please.

2 It's important to note that the supply of lithium
3 from the Salton Sea geothermal reservoir is not
4 inexhaustible. Members of our research team from the
5 University of Auckland in New Zealand have constructed a
6 numerical model of the geothermal reservoir to predict the
7 decline of lithium production from the geothermal brines
8 over time as lithium-poor brine is reinjected back into the
9 reservoir, serving to dilute it.

10 The figure on the right shows the simulated
11 results of lithium production over time for three cases,
12 one with the existing production injection well
13 configuration, that's the lower solid line in that plot,
14 and two cases where injection wells are located further
15 away from the production wells. The initial modeling work
16 illustrates that having reinjection occur further away
17 delays the decline of lithium concentration in the produced
18 brines. Thus, field operators will need to factor this
19 into how both geothermal and lithium resources can be
20 managed in a most sustainable fashion.

21 Next slide, please.

22 So I'm going to move on to potential
23 environmental impacts associated with lithium recovery from
24 geothermal brines.

25 Next slide, please.

1 So our team evaluated a wide range of potential
2 impacts which are described in great detail in our report.
3 We used a number of publicly accessible data sources from
4 county, state, and federal government agencies for this
5 review. We noted that current geothermal operations
6 utilize a range of chemicals to manage the geothermal
7 brines and that significant amounts of acids and bases
8 would likely be needed for the lithium recovery process.

9 Geothermal operations at the Salton Sea
10 geothermal field currently generate about 84,000 tons of
11 solid waste per year. These wastes are tested onsite
12 before being sent either to non-hazardous or hazardous
13 waste landfills for disposal. We anticipate that
14 additional pretreatment of the geothermal brines will be
15 needed prior to lift and recovery, which will generate
16 additional solid wastes. It may be possible to put some of
17 these materials to positive use, which would provide
18 additional revenue and reduce the need for additional
19 landfill capacity.

20 We also looked at air emissions associated with
21 the existing geothermal facilities and saw that the power
22 plants have relatively low emissions of particulate matter,
23 hydrogen sulfide, ammonia, and benzene compared with the
24 overall emissions observed in Imperial County. The non-
25 condensable gases present in geothermal mines also contain

1 carbon dioxide, which is released to the atmosphere. These
2 emissions are much lower than those associated with
3 comparable amounts of fossil fuel power generation.

4 One of the critical impacts that we identified
5 involves the use of water for both geothermal operations
6 and the planned lithium recovery facilities. All the water
7 used in Imperial County comes from the Colorado River, and
8 the long-term drought in the Western U.S. will likely
9 result in lower allocations of water to the county in the
10 future. Currently, over 95 percent of the water use in
11 Imperial County is for irrigation, but the fraction
12 allocated by the Imperial Irrigation District for
13 geothermal and lithium recovery operations is expected to
14 grow, which would reduce the amount of water available for
15 agriculture.

16 Finally, our team did also an extensive
17 evaluation of the impact of geothermal operations on
18 seismicity in and around the Salton Sea geothermal field.
19 This region is tectonically active, that is to say, it has
20 lots of natural earthquakes, and one concern is that
21 increased geothermal development spurred on by interest in
22 lithium and recovery could lead to more seismicity.
23 However, our initial findings do not indicate that lithium
24 operations will have an appreciable impact on future
25 seismicity. Our team will continue to examine these

1 environmental impacts as part of our ongoing research
2 efforts.

3 Next slide, please.

4 So just taking a closer look at the water demand
5 for both geothermal and lithium recovery operations, on the
6 left we list the needs for water for geothermal power
7 operations. The main uses for geothermal power plants is
8 for the cooling towers and for diluting concentrated brines
9 before they're reinjected back into the reservoir. Some of
10 the water use currently is met by steam condensate.

11 We anticipate that the main uses of water for the
12 direct lithium extraction process will be to help remove
13 the lithium from the sorbent material and to clean the
14 sorbent once the lithium is on there. The recycling
15 efforts could help lower the amount of water needed for
16 these operations.

17 Next slide.

18 And then finally, we want to switch to our
19 community engagement efforts.

20 Next slide.

21 Our community engagement was intended to help
22 convey the findings of our study to frontline communities
23 and other stakeholders to help them make informed decisions
24 and to receive input from the community on what their
25 concerns and questions are regarding geothermal lithium.

1 In response to these queries, we developed a
2 document with frequently asked questions and answers, which
3 is posted on our Berkeley Lab website, and we created a
4 story map that presents our research in a more accessible
5 manner. And we've held a series of outreach events with
6 community stakeholders. We plan to continue our community
7 engagement activities and we'll be participating in the
8 Lithium Valley Symposium that CEC will be hosting later
9 this month down in Imperial Valley College.

10 Next slide, please.

11 So some of the recommendations from the community
12 include an analysis of the impact of the proposed projects
13 on public health, this is outside the area of our expertise
14 but should be addressed by someone, and should also expand
15 environmental monitoring in the area. It would be helpful
16 to have a website where residents could obtain updates on
17 the projects and be able to access relevant information.

18 Going forward, our team plans to continue
19 interacting with local community organizations and support
20 their outreach efforts.

21 Next slide.

22 So to wrap up, the geothermal brines associated
23 with the Salton Sea geothermal field represent a
24 significant lithium resource containing up to 3.4 million
25 tons of lithium, equivalent to 18 million tons of lithium

1 carbonate equivalent. Our initial environmental assessment
2 didn't raise any red flags, but ongoing monitoring and a
3 baseline assessment of conditions near the development area
4 is needed. Future projects should consider water
5 availability and landfill capacity.

6 It is important to empower the local community
7 with information so that people can make informed decisions
8 as projects are undergoing review by local and state
9 agencies. Our future work will build upon this phase of
10 the project, and we will have continued community
11 engagement.

12 And then the final slide here.

13 I just want to thank the U.S. Department of
14 Energy for their support of this project, and also thanks
15 to all the different people and the different stakeholders
16 who have supported and provided our team with feedback and
17 input.

18 And then the final slide.

19 Just if you have any questions, I'm happy to
20 answer them. Note, the copy of our full report and the
21 story map that we've created can be obtained by going to
22 these links provided at the bottom of the slide.

23 Thanks very much.

24 CHAIR HOCHSCHILD: Well, thank you so much. That
25 was terrific. I really appreciate the work and you coming

1 in.

2 Let me begin by going to Commissioner Gallardo.

3 COMMISSIONER GALLARDO: Thank you, Chair.

4 Wonderful presentation. I was really excited to
5 see the study come through. And I'm glad that you are also
6 considering presenting at the Lithium Valley Symposium
7 we're having on March 29th out in the Imperial area. We
8 actually had a request from the community to include the
9 study, so I think the community is grateful for the
10 information that came through the study, as am I.

11 And I was just curious if, you know, the
12 questions that you were answering in this study, were those
13 questions that the Department of Energy asked you to look
14 into, or how did those, you know, the scope of your study
15 come about?

16 MR. GENTRY: So the origin of our study came
17 about when we were asked to do a retrospective analysis of
18 DOE-funded projects looking at mineral recovery from
19 geothermal brines. And in doing that analysis, we noticed
20 that, you know, there's been a lot of focus on the Salton
21 Sea geothermal resource as a source of these critical
22 materials, but there hadn't been a very comprehensive
23 evaluation of what that resource really was. And so we
24 proposed to DOE that we do a characterization of the
25 resource.

1 In talking with DOE, our study expanded its scope
2 to include looking at the environmental impacts. And then
3 when we had a visit from the Secretary of Energy to our lab
4 and presented her the project, she said, "We really need to
5 make sure that there's a community outreach effort."

6 And so our study sort of expanded based on those
7 additional inputs. And so we've really been fortunate to
8 be able to interact with the community. That's not
9 normally -- as a scientist we focus on doing the science.
10 I think that's really useful to have a community component
11 to this type of research effort.

12 COMMISSIONER GALLARDO: Absolutely. I agree on
13 that. I have a couple more questions if that's okay.

14 One of your key takeaways mentioned doing a
15 baseline assessment or that a baseline assessment is
16 needed. Could you talk a little bit more about what that
17 would look like?

18 MR. GENTRY: So I think in talking to people like
19 Luis Olmedo from the Comité Civico del Valle and those
20 different groups, they want to be able to understand how
21 these developments might impact their community. And
22 understanding where we are now allows you to determine
23 whether or not these new activities have changed or
24 impacted for the better or for the worse the local, you
25 know, community. And so having that baseline type of

1 study, it's not something that we're in our current works,
2 but we think that somebody ought to be doing this.

3 And so the other thing is having more extensive
4 monitoring systems that are located near where these
5 different types of plants and facilities are going to be
6 located will also be important to allay community fears
7 about what's really happening at these facilities. They
8 see smoke is showing up and really it's just water vapor --

9 COMMISSIONER GALLARDO: Right.

10 MR. GENTRY: -- but they don't know that. And so
11 that's really important to provide a way of determining
12 what's being emitted from these different facilities.

13 COMMISSIONER GALLARDO: Okay. And then one more
14 question I have for you. If you were able to do a follow-
15 up study, what would you focus on?

16 MR. GENTRY: So we are doing a follow-up study.

17 COMMISSIONER GALLARDO: Okay.

18 MR. GENTRY: And so some of our different
19 activities are as follows.

20 One is we're doing a more detailed reservoir
21 model. Some of the results were just presented at the
22 Stanford Geothermal Workshop back in last month.

23 COMMISSIONER GALLARDO: Oh.

24 MR. GENTRY: And the idea is looking at the
25 sensitivity of where you do reinjection of the lithium-poor

1 brines and how that impacts the sustainability of the
2 resource.

3 And what that's really pointing out is we're
4 going to have multiple operators at the facility. And so
5 it's going to be important to see what governmental group
6 will help regulate and make sure that the impacts of what's
7 happening in one company's lease block is not adversely
8 affecting another company's area so that the resources is
9 monitored and managed in a more sustainable manner. In the
10 past, we've only been worrying about energy in terms of
11 thermal energy that we're recovering from the resource.
12 Now we're going to be looking at two different components.
13 So the lithium component and the energy component.

14 And so it's going to be important that there is
15 some sort of regulatory body that oversees how the resource
16 is managed in an appropriate fashion.

17 COMMISSIONER GALLARDO: I agree. That one's
18 important.

19 MR. GENTRY: So another thing we're going to be
20 looking at is following up on the water.

21 And then the third thing is we're working, I just
22 got on a call this morning, with the US Geological Survey.
23 They're doing a project called GeoFlight, which is looking
24 at evaluating the mineral and geothermal resources for the
25 Imperial Valley area. And this study, we're collaborating

1 with them on that, looking at other potential lithium
2 resources within Imperial Valley besides what's underlying
3 within the Salton Sea geothermal field itself.

4 MR. GENTRY: That's excellent. Thank you.

5 And just so you know, I think the study was
6 successful as well because I keep hearing the numbers
7 quoted --

8 MR. GENTRY: Yeah.

9 COMMISSIONER GALLARDO: -- from the study, so it
10 was really nice to have that. But again, thank you so
11 much. I really appreciate it.

12 MR. GENTRY: Sure. Thanks for your questions.

13 CHAIR HOCHSCHILD: So a couple of questions for
14 you.

15 One is, can you locate for us where Lithium
16 Valley sort of stacks up versus other lithium reserves
17 around the world? Is it the largest brine reserve in the
18 world? And how big is it relative to the resources in
19 Australia, China, Chile, Argentina?

20 MR. GENTRY: So as I mentioned, just if we could
21 even tap into what are the brines that are being currently
22 produced today from the existing wells, which is an
23 underdeveloped field, would constitute ten percent of the
24 world's annual consumption of lithium, which is pretty
25 remarkable.

1 It's a world-class resource, so it's probably the
2 world's largest geothermal brine resource. It's comparable
3 to some of the biggest Salar resources in South America.
4 There are other big resources here in the U.S. that are
5 currently being evaluated up in northwestern Nevada, which
6 is a different type of resource. It's a lithium clay
7 resource associated with the McDermitt Caldera. And then
8 there's another fairly significant lithium resource in
9 southern Arkansas associated with oilfield brines, and so
10 it's from a formation called the Smackover Formation.

11 So we're working together with the USGS to sort
12 of do an assessment of the lithium resources of all
13 different types within the United States. And so this is
14 going to be part of that effort is sort of how does this
15 fit into the overall resource base for lithium and other
16 critical materials in the U.S.?

17 CHAIR HOCHSCHILD: Got it. And then, you know,
18 it's called lithium value, but of course there's also zinc
19 and manganese and so forth.

20 MR. GENTRY: Yeah, so we're --

21 CHAIR HOCHSCHILD: Did you look at the other
22 resources and how rich are those compared to other
23 reserves?

24 MR. GENTRY: So part of our follow-up set, we
25 have a postdoc at UC Riverside. And when she used her

1 analytical equipment to analyze, we're looking not only at
2 the brines, we're looking at the host rocks as well, so
3 she'd be looking at the mineral phases in the geothermal
4 reservoir, when she zaps these rocks with a laser, it
5 basically vaporizes the rock and she can analyze basically
6 almost all the elements of the elemental table. So she's
7 been focusing on lithium for the first part of the study.

8 Now she's going to turn her attention to other
9 critical materials and basically get an idea of what the
10 distribution of those elements are within the different
11 mineral phases and the different parts of the reservoir.
12 We're also looking at the brines themselves and seeing what
13 sort of resource potential they have.

14 In talking to the companies, they're also looking
15 at, you know, following up, as economics determine and the
16 technology determines, the feasibility of extracting zinc
17 and manganese and other critical materials from these same
18 brines.

19 CHAIR HOCHSCHILD: Great.

20 COMMISSIONER GALLARDO: To clarify real quick,
21 who did you say is looking into that? Is that --

22 MR. GENTRY: UC Riverside.

23 COMMISSIONER GALLARDO: Oh, UC Riverside.

24 MR. GENTRY: They're one of our research
25 partners.

1 COMMISSIONER GALLARDO: Thank you so much.

2 Sorry, Commissioner Monahan. Go ahead.

3 COMMISSIONER MONAHAN: This is a fascinating
4 study.

5 Just to follow up to the Chair's question about
6 sort of comparing this resource in the Salton Sea to other
7 parts, particularly in the United States, where we're
8 trying new extraction processes for lithium that are less
9 environmentally invasive, I would say, than what we
10 currently have in terms of lithium extraction. And I'm
11 curious about your sense of the feasibility of the
12 extraction of lithium from the Salton Sea region compared
13 to what you're seeing in other parts of the country.

14 MR. GENTRY: So we know that there's sort of the
15 tried and true technologies of, like, you mine hard rock
16 pegmatites. There's just a project in North Carolina
17 that's being started up for old pegmatite mines for mining
18 lithium. That's something that people know how to do. But
19 as you mentioned, there's a lot of environmental impacts of
20 digging up a mountain and using lots of chemicals and lose
21 lots of energy to crush the rocks and process the minerals.

22 The beauty of geothermal lithium is it's the
23 lithium is already in the solution. The challenge is
24 extracting the lithium at a commercial scale, and that's
25 something that's still yet to be demonstrated. That's

1 outside the scope of our study and my expertise as a
2 geologist, but we're really looking forward to seeing how
3 these processes are going to move forward. And we think
4 there's -- it's not like it's only being done in the U.S.
5 There's a lot of effort in the Rheingold (phonetic)
6 (indiscernible) in Germany and France to also tap into
7 geothermal lithium using a direct lithium extraction
8 process. And a number of companies have sprung up. So
9 there's a lot of new tech companies are focusing their
10 efforts on improving the ability of extracting it at a
11 commercial scale.

12 We're producing -- the current well production
13 rate is on the order of like 50,000 gallons a minute, so
14 you have to be able to process that volume of fluid that
15 quickly. And that's the biggest challenge that I see going
16 on right now is we can do it at a bench scale, the question
17 is, can we do it at this big scale, and is it going to
18 compete with the other types of processes?

19 In terms of the other question you asked, in
20 terms of the other types of technologies, we're looking at
21 impacts such as water use in terms of land use, and in
22 terms of the amount of energy that's needed to do this, and
23 the amount of chemicals that are needed for these different
24 processes.

25 And so these sort of lifecycle analysis processes

1 have been done, and this is one of the least impactful ways
2 of getting lithium from different resources around the
3 world. And so I think that's a really important component
4 to take into consideration. It's not just, is it there,
5 but can you get it out without creating more harm than
6 you're creating by using renewable energy sources? I think
7 this is a really important component of this product.

8 CHAIR HOCHSCHILD: Yeah.

9 COMMISSIONER MONAHAN: Thank you.

10 CHAIR HOCHSCHILD: So my favorite statistic about
11 Lithium Valley is that to produce 20,000 tons of lithium,
12 if you do it from evaporation ponds in South America, you
13 impact 30,000 acres, hard rock mining, 3,000 acres, Lithium
14 Valley, 30 acres, so a very small footprint. Of course,
15 it's all powered by geothermals.

16 We would love to have you back. This is a key
17 priority for us at the Energy Commission. Commissioner
18 Gallardo has been leading us incredibly effectively, so
19 effectively, they turned the lights off the other night,
20 heard your name.

21 But anyway, we want to thank you and look forward
22 to having you back. Thank you so much.

23 MR. GENTRY: For sure.

24 CHAIR HOCHSCHILD: All right, we will turn now --
25 actually, what I'd like to do, if we could, I have a tribal

1 consultation I have to do at 2:00. And if we could just
2 knock through a few of the ones that are really fast that
3 we need to -- well, item 15 is against you. Okay. Okay,
4 so why don't we do that?

5 Sorry, let's then turn to item 15, which is
6 updated battery price forecast to improve economic benefits
7 of heavy-duty vehicle electrification. Welcome Chris Bush.

8 Chris, good to see you again.

9 MR. BUSCH: Pleasure to be here, Chair. Thanks
10 for the invitation. I'm Chris Busch, Director of
11 Transportation and Senior Economist with Energy Innovation.
12 We're a nonpartisan climate policy think tank doing
13 objective research based on scientific assessments to
14 identify the most effective climate policies. And today
15 I'm happy to come and share some good news about climate
16 policy.

17 The origin of this work was a discovery several
18 months ago of a heavy-duty vehicle battery pack forecast
19 from Bloomberg New Energy Finance. And they're well known
20 for their lithium battery industry expertise, but to our
21 knowledge, this is the first time they've put out a heavy-
22 duty vehicle forecast. And battery cost expectations are
23 particularly important for heavy-duty vehicles because they
24 require big batteries.

25 And so I guess to get to the takeaway from our

1 study -- and if you could advance to the next slide,
2 please? -- the takeaway is that when you look at the most
3 current information, we see fast acceleration towards
4 electric heavy-duty vehicles costing less than equivalent
5 of diesel several years earlier, or in some cases, a decade
6 or more earlier.

7 So next slide, please.

8 I'd just like to start by walking you through,
9 you know, what we did with the study. And the image at
10 left shows the title page of the foundation of the work
11 that we did. It's an International Council on Clean
12 Transportation report. And they looked at five
13 representative types of heavy-duty vehicles from Class 4-5
14 to long-haul heavy-duty Class 8. And you can see that
15 those five types of vehicles represented for the five
16 tables there.

17 And for each type of vehicle, they broke down
18 cost into five categories. And basically, what we did is
19 looked at how this new forecast had affected the fourth
20 row, the battery cost. And you'll notice the last row in
21 each table is indirect cost. They also accounted for
22 marketing, research and development, profit margin, and
23 those indirect costs are predicated on the direct cost. So
24 we also then, in our study, accounted for that secondary
25 effect on indirect cost.

1 Next slide, please.

2 So the heart of the matter is battery cost. And
3 here we see what the ICCT had found earlier for expected
4 future heavy-duty costs. We see these data points
5 represent their gathering of the best studies in the
6 literature at the time they were doing this work. And
7 their estimate is shown with a dashed line there labeled
8 ICCT estimate. We're going to call this the prior forecast
9 you'll see in some slides I'm going to show after this.
10 And I also mentioned that this was the basis for battery
11 costs in the EPA's draft regulatory impact assessment for
12 the phase three rules that they're doing now.

13 I'll mention, as well, just ICCT was a reviewer
14 of our study and this isn't meant as a criticism of their
15 work but more of an indication of how fast the market and
16 technology landscape can change sometimes.

17 So next slide, please.

18 Here we see in green shade, the green shaded
19 curve is the updated Bloomberg New Energy Finance Forecast
20 that we identified several months ago. It was published in
21 the 2023 Bloomberg New Energy Outlook. And then the blue
22 curve is the ICCT future projected costs. And so you can
23 see there's a pretty big difference between the two curves.

24 I'll also mention, we extended the Bloomberg
25 New Energy Finance forecast to 2040 in order to align with

1 what ICCT had done. Their forecast only went out to 2035,
2 but it's pretty easy to use the same assumptions of 17
3 percent learning rate to push that forward to be able to
4 use it for -- as we did.

5 But just to boil it down, the difference in the
6 battery forecast is around 31 percent lower in the updated
7 forecast in 2030 and 39 percent lower in the 2040 -- in
8 2040 for the updated forecast.

9 And next, we're going to look at how this affects
10 future expected heavy-duty vehicle purchase cost.

11 Next slide, please.

12 We're looking here at, for the five types of
13 vehicles studied, again at the top, Class 4 or 5 rigid
14 truck down to long-haul tractor truck at the bottom, we're
15 looking at the difference between the battery electric
16 vehicle cost and a diesel cost measured as battery electric
17 cost minus diesel. So negative numbers here means that the
18 diesel costs more, the battery electric costs less.

19 The updated forecast results are shown with the
20 green shaded bars and the blue are the prior forecasts at
21 ICCT's estimated forecast. What we see is that the newer
22 numbers bring four of five cases for battery electric to a
23 place of saving money compared to diesel versus three of
24 the types previously.

25 I should mention, too, these are unsubsidized

1 prices for electric vehicles. This isn't counting any
2 available consumer incentives. And again, these are 2030
3 results.

4 So the next slide is going to be formatted the
5 same, but we're going to look at the 2040s. So moving a
6 decade forward, battery prices are reliably falling as
7 deployment moves forward. Economies of scale grow, and
8 also learning by doing grow, so battery prices fall.

9 And next slide, please.

10 By 2040, in every case, we see the diesel vehicle
11 costing less than the battery electric. Yes, sorry, that's
12 right. I was confusing myself for a minute.

13 Even in the case of the long-haul tractor truck,
14 there's a savings of around \$9,000 in our estimation in
15 2040, and of course, the battery electrics also offer fuel
16 savings, maintenance savings, and so the advantages are
17 even greater from a total cost of ownership perspective.
18 So we're just looking at purchase cost sort of the least
19 favorable ground for battery electrics in these results.

20 Next slide please.

21 This just shows some of the underlying dynamics
22 of what's going on in the in the example of a short-haul
23 tractor truck. And the three bars at left are 2030
24 results. The three bars at right are 2040 results. The
25 gray shaded bars are diesel trucks. And then for the two

1 battery electric bars, the updated value, the lower value
2 is shown at the left, and we see that most of the savings
3 from the new battery costs come directly in battery costs,
4 somewhat unsurprisingly.

5 But there's also a small secondary effect in
6 these indirect changes in indirect cost. And so instead of
7 costing \$14,000 more in 2030, at the prior cost of the
8 forecast, according to the updated forecast, the battery
9 electric is saving \$21,000. And a similar amount is saved
10 over the prior -- I'm sorry, \$7,000 is saved -- at the
11 updated forecast, the battery electric saved \$7,000
12 compared to the diesel, and that's shown in the bottom row
13 of the table there. And then that savings increases to
14 \$30,000 in 2040.

15 So let's go to the next slide, please.

16 Just a few concluding slides I'd like to show
17 explain why there's reason to believe our study
18 underestimates the economic benefits of electrification.

19 Next slide, please.

20 And this shows an industry-weighted average,
21 sales-weighted average for the industry for battery packs,
22 so this isn't only heavy-duty that vehicle battery packs,
23 but it shows that prices fell 14 percent last year. And
24 that's important because the forecast we were working with
25 came from the middle of the year and so it didn't really

1 fully account for these trends. And a big reason is, is
2 that the speed with which battery mineral prices were going
3 to decline was not yet understood.

4 And go to the next slide, if you would, please?

5 And we see those trends in these -- in this
6 graphic, just looking at two important battery mineral
7 prices over time. And we see that by the end of 2023,
8 lithium prices had dropped about 70 percent from their
9 peaks, and cobalt prices had reverted to pre-pandemic
10 levels. And those played out over the course of the year.

11 So the last slide I would like to show you next
12 is a more recent Goldman Sachs forecast. Go to the next
13 slide, please.

14 This was just, this is an open source article we
15 just came across a couple weeks ago, published June -- I'm
16 sorry, February 29th. And this shows Goldman expects
17 battery prices is to fall 40 percent approximately between
18 2023 and 2025. And they also say, quote, "Battery prices
19 are falling -- now falling rapidly." And Goldman's
20 forecast sees industry average prices falling to \$69.00 in
21 2030. The industry average in the updated forecast we were
22 working with is \$77.00. So this just shows how the BNEF
23 forecast didn't even really fully account for some of the
24 trends in the battery minerals market -- battery minerals
25 market.

1 Next slide, please.

2 So that wraps it up for me. I did want to
3 conclude with a policy point worth emphasizing that
4 accelerated economic competitiveness does not mean that the
5 invisible hand of the market can be trusted to manage the
6 transition. And, of course, the CEC has for decades been a
7 leader in recognizing this and pioneering policies to
8 achieve clean and efficient energy use. And so, thank you
9 for that leadership, and I look forward to your comments
10 and questions.

11 CHAIR HOCHSCHILD: Thank you so much. I did have
12 a quick question.

13 Just the chart you showed, we're talking about
14 upfront cost; correct?

15 MR. BUSCH: Correct. Yeah.

16 CHAIR HOCHSCHILD: When you look at the cost to
17 operate, the reduced maintenance costs and so on, you get,
18 you know, just a cost of ownership. I imagine the delta
19 between electric and diesel would be even wider; is that
20 correct?

21 MR. BUSCH: Oh, definitely, most definitely.

22 CHAIR HOCHSCHILD: Yeah.

23 MR. BUSCH: I mean --

24 CHAIR HOCHSCHILD: Do you have a chart to that
25 effect?

1 MR. BUSCH: -- I know at the old battery costs
2 that --

3 CHAIR HOCHSCHILD: Yeah.

4 MR. BUSCH: -- every, every category except for
5 long haul was total cost of -- unsubsidized total cost of
6 ownership, saving for electric by 2027, and 2030 for long
7 haul. So that's -- so this would move those numbers
8 significantly forward. So we're talking about including
9 consumer incentives, total cost of ownership, reaching
10 parity in the next few years is my impressionistic
11 interpretation, but we are going to move on and someone
12 needs to calculate those in the specific now.

13 CHAIR HOCHSCHILD: Yeah, that'd be super helpful.

14 All right, let's go to Commissioner Monahan.

15 COMMISSIONER MONAHAN: Thanks, Chris. That was a
16 great presentation, great study. And also just affirms, I
17 think, what we're doing in California in terms of, really,
18 we want to save truckers money while we clean the air. And
19 so we need to get to this point where -- I mean, because
20 truckers often look at like a three-year payback, the TCO
21 doesn't work for them as well. And financing doesn't work
22 for them as well.

23 I'm curious, and I feel like I should know this,
24 but I do not, does the dollars per kilowatt hour or a truck
25 battery, is it different than light-duty or are they the

1 same? Is that like the cost of --

2 MR. BUSCH: Well, the cost is higher.

3 COMMISSIONER MONAHAN: -- is the battery cost?

4 MR. BUSCH: So, I think in 2020, ICCT was
5 estimating around \$250 per kilowatt hour versus around \$150
6 for light-duty.

7 COMMISSIONER MONAHAN: Ah, so it is different, so
8 because of the durability and the duty cycle, they just
9 cost a lot more to produce?

10 MR. BUSCH: Also, just earlier deployment, fewer
11 economies of scale in the manufacturing process, less
12 opportunity for learning by doing on some of the unique
13 aspects around thermal management for bigger batteries.
14 And also, I think just in a nascent market you get some
15 accidental really high profit margins because it's
16 higher -- harder for buyers to know what the right price
17 is.

18 COMMISSIONER MONAHAN: Oh, that makes sense.
19 Thank you.

20 CHAIR HOCHSCHILD: Any other questions?

21 Okay, if not, thank you so much, Chris, really
22 appreciate it. And great work. Keep us posted. It's
23 always great to have these kind of updates on pricing, so
24 much I appreciate it.

25 Okay, so I, as I mentioned, have a tribal

1 consultation I have to leave for at 2:00. If we could just
2 knock through a couple of really quick voting items, maybe
3 the minutes, so let's do item 16.

4 Are there any public comments on item 16?

5 MS. BADIE: Thank you.

6 This is Mona Badie, the Public Advisor. The
7 Commission now welcomes public comment on item 16. Those
8 are the minutes from the February 14, 2024 24 business
9 meeting.

10 If you're joining us in the room, we'll ask that
11 you use the QR code or visit the Public Advisor table in
12 the room. And if you're joining us by Zoom, please use the
13 raise-hand feature on your screen or star nine if joining
14 by phone.

15 I'm not seeing anyone in the queue in the room or
16 on Zoom, so back to you, Chair.

17 CHAIR HOCHSCHILD: Okay, is there a motion on
18 item 16 from Commissioner Monahan?

19 COMMISSIONER MONAHAN: I move to approve item 16.

20 CHAIR HOCHSCHILD: Is there a second from
21 Commissioner Gallardo?

22 COMMISSIONER GALLARDO: I second.

23 CHAIR HOCHSCHILD: All in favor say aye.

24 Commissioner Monahan?

25 COMMISSIONER MONAHAN: Aye.

1 CHAIR HOCHSCHILD: Commissioner Gallardo?

2 COMMISSIONER GALLARDO: Aye.

3 CHAIR HOCHSCHILD: I vote aye as well. Item 16
4 passes unanimously.

5 Now should we do between item nine and item eight
6 with the 20 minutes we have? We'll be able to get through
7 item eight, you think, in 20 minutes?

8 MS. BARRERA: It's possible, but I don't know.
9 (Indiscernible.)

10 CHAIR HOCHSCHILD: Okay. Which is the shortest
11 of these two, item nine? Okay. Then we'll turn to item
12 nine now.

13 Welcome Elizabeth Varkey to present.

14 MS. VARKEY: Hello Chair and Commissioner. My
15 name is Elizabeth Varkey with the Fuels and Transportation
16 Division. Today, staff is seeking approval for the County
17 of Los Angeles project that was proposed for funding under
18 the Convenient, High-Visibility, Low-Cost Level 2 Charging
19 solicitation, otherwise known as CHill-2.

20 Next slide, please.

21 CHAIR HOCHSCHILD: So sorry. Hold the mic a
22 little bit closer to you.

23 MS. VARKEY: Yeah. The proposed project will
24 benefit Californians --

25 CHAIR HOCHSCHILD: Yeah.

1 MS. VARKEY: Okay. The proposed project will
2 benefit Californians by providing increased access to
3 reliable Level 2 charging by installing a large amount of
4 charging ports in a small area and maintaining at least a
5 97 percent charger uptime. It will improve public
6 awareness and confidence in Level 2 charging assets through
7 high-density, high-visibility installations.

8 The proposed project will also reduce greenhouse
9 gas emissions and criteria air pollutants, providing air
10 quality benefits to local communities in the vicinity of
11 the project area.

12 Next slide, please.

13 Before I present this project, I would like to
14 provide a brief overview of the CHiLL-2 solicitation.
15 GFO-22-610, otherwise known as CHiLL-2, was released on
16 March 23, 2023. Staff proposed five projects with a total
17 funding of around \$25.8 million. The focus of the
18 solicitation is to improve public awareness and confidence
19 in Level 2 charging assets by providing grant funding for
20 high-density, high-visibility Level 2 charge installations.

21 Applicants were asked to identify a 1.5 mile
22 radius of the project area central point in which all
23 charges would be installed. Proposed projects must also
24 install at least 50 percent of the project's charges in
25 disadvantaged or low-income communities.

1 The project that I will be presenting today
2 accounts for \$6 million out of the total \$25.8 million
3 proposed for awards under the CHiLL-2 solicitation. Two
4 projects were presented during the business meeting on
5 February 14, 2024, and the remaining two seeking funding
6 through the CHiLL-2 solicitation will be presented in
7 upcoming business meetings.

8 Next slide, please.

9 The proposed agreement is with the County of Los
10 Angeles. County of Los Angeles is requesting \$6 million
11 and is contributing \$2 million in match funds to install at
12 least 300 Level 2 charging ports distributed across five
13 different sites. The project area is focused on serving
14 disadvantaged communities with particular emphasis on the
15 Ramona Gardens public housing development in the Boyle
16 Heights neighborhood of East Los Angeles.

17 CHiLL-2 defines priority communities for the
18 California Air Resources Board, California Climate
19 Investments Priority Populations 2022 map. One hundred
20 percent of the project sites, as shown in lavender on the
21 map, are in disadvantaged and low-income communities.

22 The charging ports will not require any site
23 upgrades, decreasing the overall cost of the project,
24 making charges affordable, and accelerating the deployment
25 timeline to maximize the benefits to users.

1 The 300 L2 charging ports include features like
2 advanced load management, dynamic response to real-time
3 signals, user data analysis, and driver-facing charging
4 session management. This deployment will reinforce grid
5 reliability, further resiliency, and advance key objectives
6 towards achieving greater sustainability within the region
7 and state.

8 Public chargers will be installed in a variety of
9 site types like parking lots, covered parking structures
10 and curbside parking along both commercial streets and your
11 local parks. Curbside charges will be integrated into
12 existing LED lamp poles and all sites including the
13 curbside locations are free parking.

14 Next slide please.

15 Staff's recommendation is to adopt staff's
16 determination that these actions are exempt from CEQA and
17 approve agreement ARV-23-006.

18 On the line, we have Alex Mena from County of Los
19 Angeles to answer any questions.

20 Thank you for your consideration. This concludes
21 my presentation and I'm happy to answer any questions.

22 CHAIR HOCHSCHILD: Great. Thank you so much.

23 Let's go to public comment on item nine.

24 MS. BADIE: Good afternoon. The Commission now
25 welcomes public comment on item nine.

1 If you're joining us in the room, we're asking
2 folks to use the QR code or visit the Public Advisor table
3 in the back of the room. And if you're joining us on Zoom,
4 you'll use the raise-hand feature on your screen or star
5 nine if you're joining us by phone. And I'm just giving
6 that a moment to refresh the cues. Not seeing any hands
7 for item nine.

8 Back to you, Chair.

9 CHAIR HOCHSCHILD: Okay, we'll go to Commissioner
10 discussion, starting with Commissioner Monahan.

11 COMMISSIONER MONAHAN: Well, this is one of the
12 many grants that we're doing to try to make sure that we
13 have equitable deployment of EV chargers. And even though
14 the requirement was a minimum of 50, this far exceeds it in
15 terms of targeting low-income and disadvantaged
16 communities. And I think East L.A. in particular is an
17 area that we want to make sure there are chargers.

18 And we recognize that we need to make sure that
19 people who live in apartment buildings or multifamily
20 dwellings have convenient access. If you're working in the
21 middle of the day and can plug in your charge, you plug in
22 your vehicle into Level 2, that's optimal. You really run
23 your vehicle on sunshine and you get an affordable charge.

24 So I think this is a great example of the
25 projects that FTD is shepherding. And I thank you and the

1 team for all the work you're doing to make sure that we're
2 really focusing on equity as we move forward with charger
3 deployment.

4 CHAIR HOCHSCHILD: Well, I just want to say, I
5 love the charger in the lamppost model. I first learned
6 about that in Europe and I think it's brilliant. You have
7 the structure, you have the power, and it is a great thing.
8 I love to see it put here. So thank you for your work.

9 And with that, I entertain a motion on item nine
10 from Commissioner Monahan.

11 COMMISSIONER MONAHAN: I move, I make a motion to
12 move item nine.

13 CHAIR HOCHSCHILD: Is there a second from
14 Commissioner Gallardo?

15 COMMISSIONER GALLARDO: I second.

16 CHAIR HOCHSCHILD: All in favor say aye.
17 Commissioner Monahan?

18 COMMISSIONER MONAHAN: Aye.

19 CHAIR HOCHSCHILD: Commissioner Gallardo?

20 COMMISSIONER GALLARDO: Aye.

21 CHAIR HOCHSCHILD: And I vote aye as well. Item
22 nine passes three to zero.

23 Item ten, do you think we can do in 15 minutes?
24 Okay. Why don't we, if that's -- let me do a couple of
25 super good ones.

1 Item 18, Executive Director's Report.

2 Drew, do you have anything to report?

3 EXECUTIVE DIRECTOR BOHAN: No report. My
4 apologies.

5 CHAIR HOCHSCHILD: No? No report.

6 Item 19, Public Advisor's Report.

7 MS. BADIE: No report.

8 CHAIR HOCHSCHILD: No report there.

9 And anything else from Chief Counsel? Do we have
10 to --

11 MS. DECARLO: I was hoping to introduce our new
12 attorneys.

13 CHAIR HOCHSCHILD: Yeah, let's do that.

14 MS. DECARLO: Oh, right now?

15 CHAIR HOCHSCHILD: Yeah.

16 MS. DECARLO: Okay. Who's here? All right,
17 great. Thank you.

18 So we have had a slate of new attorneys and new
19 support staff join in the last few months and so I just
20 wanted to take this opportunity to introduce them to you
21 all.

22 First from Regulatory and Advisory Unit, we have
23 Devin Black.

24 Devin, do you want to stand up? Thank you.

25 Since joining the Commission in January, Devin

1 has been tasked with providing legal counsel on complex
2 issues involving tribal land, nuclear energy and load
3 management standards. His work has provided support to the
4 CCO's efforts on Part 11 CALGreen, HERS, and other
5 appliance efficiency rulemakings.

6 And then we have Albert Kim, also with the
7 Regulatory and Advisory Unit. And Albert has been mainly
8 focused on providing legal counsel for the RPS, BUILD,
9 CalEHP, LRC, and SEL programs. He has also been providing
10 support for CCO's work with the Energy Code and Appliance
11 Efficiency rulemakings.

12 CHAIR HOCHSCHILD: Great. Welcome to you both.
13 Fantastic.

14 MS. DECARLO: And then with the Transactions
15 Unit, I don't know if Joshua Michael Sorich (phonetic) is
16 here. Oh yeah, there he is. Joshua Sorich, who goes by
17 his middle name, Michael, will be a co-lead on the EPIC
18 Program. He is supporting CPUC proceedings and is
19 currently working on the EPIC Annual Report. He's also
20 supporting Cal EHP and ERDD solicitations.

21 CHAIR HOCHSCHILD: Fantastic. Welcome. Great.

22 MS. DECARLO: And then from the Hearing and
23 Advisory Unit, we have Rachel Shuen. Since joining the
24 Commission in October, Rachel has been providing legal
25 support to the various Fuels and Transportation Division

1 rulemakings, helping modernize the way we handle conflicts
2 of interest questions, and helping stand up several of the
3 informational proceedings.

4 And then we have Gina Tomaselli. She's still
5 upstairs. Gina is our newest addition to the office,
6 having just started this past Monday. She will be
7 providing much needed support to our petroleum work and
8 other Energy Assessments Division work, including the AB
9 1373 POU capacity payment rulemaking, which you'll be
10 hearing about shortly, and the non-energy benefits
11 informational proceeding.

12 And then I also wanted to note two other
13 attorneys who aren't present today, Alex Mayer and Brianna
14 Ziff in the Advocacy and Compliance Unit. They're both
15 supporting the new Opt-In Certification Program, as well as
16 assisting with other power plant permitting and enforcement
17 matters, appliance efficiency, and data management issues.

18 And then lastly, we have two additional support
19 staff who have joined our team recently. Wendi DuBose is
20 helping the Hearing and advisory Unit and all of our
21 support needs, including the orders and needed for the AFC
22 proceedings.

23 And then we also have Eunice Lemos-Adair who came
24 over from the Contracts, Grants and Loans Office in
25 January. And she's helping with our hiring and recruiting,

1 our court reporting and translation services, and our
2 business meeting support.

3 CHAIR HOCHSCHILD: Well, welcome to you all. And
4 thank you for bringing your talents to the Energy
5 Commission. We're really happy to have you. And you're
6 arriving at a great time. We've got a lot of exciting work
7 moving.

8 Lisa, was there anything else from Chief
9 Counsel's Report on your side to offer or is that --

10 MS. DECARLO: Nothing further. Thank you so
11 much.

12 CHAIR HOCHSCHILD: Okay, why don't we try to
13 do -- but that's a non-voting item; right? Oh, it was a
14 voting item? That's okay.

15 Let's turn to item 11, which is --

16 COMMISSIONER MONAHAN: we're keeping everybody on
17 their toes today.

18 CHAIR HOCHSCHILD: Jana, yeah, sorry.

19 COMMISSIONER MONAHAN: Be ready at any minute.

20 CHAIR HOCHSCHILD: Jana McKinny to present.

21 Hi Jana.

22 MS. MCKINNY: Hello Chair, Commissioners. My
23 name is Jana McKinney. I'm a staff member with the Fuels
24 and Transportation Division.

25 Staff is seeking your approval of an interagency

1 agreement with the California employment training panel to
2 increase the number of electricians certified to install
3 state funded electric vehicle charging equipment. The
4 proposed interagency agreement will be funded by the Clean
5 Transportation Program.

6 Next slide.

7 Assembly Bill 841 requires that all electric
8 vehicle charging equipment that is funded by state agencies
9 and installed on the customer side of the electric meter
10 must have at least one electrician who holds Electric
11 Vehicle Infrastructure Training Program certification on
12 the job site. For charging ports over 25 kilowatts, 25
13 percent of the total electricians working on the project
14 must be certified. I'd also like to note that some
15 federally funded projects, such as NEVI, also require EVITP
16 certification.

17 So the EV Infrastructure Training Program is a
18 nonprofit organization that provides training and
19 certification to C-10 licensed electricians to install the
20 infrastructure and equipment. Certification needs to be
21 after three years, and it costs \$275. The curriculum
22 includes training on site assessments, load calculations,
23 the National Electric Code, job site safety, maintenance
24 best practices, and also the installation of DC fast
25 chargers, inductive charging, and vehicle-to-grid

1 applications.

2 There are approximately 264 contractors in
3 California right now.

4 CHAIR HOCHSCHILD: And sorry, Jana, when you
5 mentioned someone paying \$275 to get re-certified, that
6 goes to the California Employment Training Panel?

7 MS. MCKINNY: Yeah.

8 CHAIR HOCHSCHILD: Okay. Sorry.

9 MS. MCKINNY: So this map shows the 264
10 contractors in California who employ EVITP certified
11 electricians. This map and a find-a-contractor tool is
12 available on EVITP's website.

13 Next slide.

14 So increasing the number of certified
15 electricians will ensure a geographic availability of
16 certified electricians. This would protect against
17 attrition. It would also recruit a diverse workforce that
18 can support the charging infrastructure system that's
19 necessary to meet California's 2030 and 2035 clean energy
20 targets. Additional certified electricians would improve
21 the reliability and uptime of California's charging
22 network.

23 And this interagency agreement also invests in
24 rural disadvantaged and low-income communities.

25 Next slide.

1 So the interagency agreement is with the
2 Employment Training Panel, which is a department under the
3 California Labor Workforce Development Agency that oversees
4 the state's comprehensive workforce investment system.
5 It's a \$3 million agreement to train and certify a minimum
6 of 3,000 electricians through the EV Infrastructure
7 Training Program. Training will be delivered through
8 subcontractors. And 50 percent of that training is going
9 to be targeted at rural or disadvantaged communities.

10 The Employment Training Panel will also establish
11 ongoing partnerships with electrical workers unions,
12 community colleges, electrical apprenticeship programs,
13 employers, and electric vehicle charger manufacturing
14 companies.

15 Next slide.

16 Staff is seeking your approval for this
17 interagency agreement, as well as adoption of staff's
18 determination that the partnership agreement is not a
19 project under CEQA.

20 And this concludes my presentation.

21 I have Robert Meyer, the Director of Economic
22 Development from the Employment Training Panel here with me
23 today. He'd like to share some additional information
24 about the Employment Training Panel and also the program.

25 CHAIR HOCHSCHILD: Great. Welcome.

1 MR. MEYER: Good afternoon, everybody. I was
2 prepared for the two-minute clock, so I'll try and keep it
3 brief and appreciate everybody's time and support for the
4 program. My name is Robert Meyer, M-E-Y-E-R. I'm the
5 Director of Economic Development with the California
6 Employment Training Panel.

7 The ETP is a business- and labor-supported state
8 agency within the Labor and Workforce Development Agency.
9 We provide funding to help employers to assist them in
10 upgrading the skills of their existing and new workers,
11 ultimately leading to competitive wages and long-term jobs
12 and career pathways.

13 ETP is funded through employer contributions for
14 its core program, not tied to the general fund of the state
15 budget. ETP contracting capacities typically range between
16 \$90 million and \$105 million annually, a healthy economy.
17 In the most recent five fiscal years, we've also supported
18 an additional \$120 million in alternatively funded programs
19 ranging from entrepreneurship for immigrant communities to
20 focus programs on job creation reemerging from COVID, as
21 well as small business support in high in-demand agency --
22 or industry sectors.

23 Through this interagency agreement, we are going
24 to work with EVITP, a training provider, a number of our
25 subcontracting entities, subcontracting in the IA

1 agreement, to provide access or training for state
2 certified general electric contractors statewide. Our goal
3 will be to increase the number of those certified and to
4 prioritize the effort to increase the number of certified
5 that reside in rural and non-urban regions, as well as
6 disadvantaged communities in the low-income regions of
7 California.

8 Additionally, these certified will also look at
9 it as an opportunity to engage employers in tribal impact
10 communities, tribal-related areas of the state that align
11 with the ongoing efforts of the California Energy
12 Commission, the Employment Training Panel, and LWDA.

13 As part of this IA, we're going to use a standard
14 ETP pay per performance contract model to ensure that all
15 training provided is documented and that there is a pay --
16 the post-employment retention period is met so that workers
17 are working after the training is provided.

18 We'll also gain information on the certification,
19 the demographic information of the employers participating
20 in the program, and that will be reported in an ongoing
21 fashion to the Energy Commission through quarterly reports.

22 We'll also be able to monitor effectively
23 progress on the IA using, again, our standard in-place
24 contracting system. It's a Salesforce system and it's
25 actually quite robust.

1 We've engaged stakeholders. And we'd like to
2 thank the Energy Commission for its partnership and
3 continued work in this area to advance the skill sets of
4 workers working in both infrastructure, but also
5 manufacturing and electrification.

6 I'd like to thank Peter Cooper, Assistant
7 Director for ETP, for his continued support of our
8 partnership. Also, Elise Candelaria, our Climate Lead in
9 Engagement, Deputy Director Rasool (phonetic), Charles
10 Smith, and Jana McKinny for their support of this
11 interagency agreement. We've been working on it for a
12 while.

13 Also, I'd like to acknowledge Larry Rillera,
14 who's now at CARB, so a trader but he's still a partner,
15 who initiated this project many, many years. We've been a
16 long-time participant on the Advisory Committee and
17 champion your efforts across the economy.

18 Thanks.

19 CHAIR HOCHSCHILD: Thank you.

20 So any public comment?

21 MS. BADIE: Thank you, Chair.

22 Now's the time for public comment on item 11,
23 which is the California Employment Training Panel.

24 If you're in the room with us, we ask that you
25 use the QR code or visit the Public Advisor table. And if

1 you're online, please use the raise-hand feature on your
2 screen or press star 9 if you're joining by phone to
3 comment on this item. And so just giving a quick refresh.

4 K. Barber, I'm going to open your line. If you
5 could please state and spell your name for the record?
6 We're asking for comments to be two minutes or less. Kay
7 Barber, your line is open. You'd have to unmute on your
8 end to make your comment.

9 MS. BARBER: I think I'm unmuted.

10 MS. BADIE: We can hear you now.

11 MS. BARBER: Okay. Thank you. My name is
12 Kathleen Barber, B-A-R-B-E-R. I am a retired training
13 director for the IBEW, which is the International
14 Brotherhood of Electrical Workers. And I have firsthand
15 knowledge of how ETP has been used effectively for training
16 apprentices, as well as journeymen upgrade classes. And
17 with this program for the EVITP funding, it will help bring
18 back in our current state certified electricians to the
19 classroom so that they will get the additional 20 hours of
20 training in EVITP installations.

21 We currently, I can say for a fact, we currently
22 have the support of the statewide IBEW Apprenticeship
23 Committee on reaching out to all of our training centers,
24 which are 18 across the state, to put into effect the EVITP
25 training, which is already being administered to our fifth-

1 year apprentices so that when they graduate, they have the
2 EV ITP certification.

3 So I want to thank ETP for their continued
4 efforts to increase training across all lines of employers
5 and employees, and particularly the CEC for thinking about
6 and implementing this joint effort.

7 Thank you.

8 MS. BADIE: Thank you.

9 And that was the only hand, so that concludes
10 public comment.

11 Back to you, Chair.

12 CHAIR HOCHSCHILD: Thank you.

13 With that, I would open to any Commissioner
14 discussion. And if there's not, then welcome a motion.

15 COMMISSIONER MONAHAN: I'll just be really fast.

16 I want to thank Robert for your leadership on
17 being part of the advisory committee and Jana for your work
18 on this. Really great to hear IBEW support for it. You
19 know, we want to make sure that we have a lot of certified
20 contractors since we have to ramp up from a 100,000 charges
21 to 1 million over the next seven years. So we got a job to
22 do, and this is part of it, so thank you.

23 CHAIR HOCHSCHILD: Great.

24 With that, I welcome a motion on item 11 from
25 Commissioner Monahan.

1 COMMISSIONER MONAHAN: I move to approve item 11.

2 CHAIR HOCHSCHILD: Is there a second from
3 Commissioner Gallardo?

4 COMMISSIONER GALLARDO: I second.

5 CHAIR HOCHSCHILD: All in favor say aye.
6 Commissioner Monahan?

7 COMMISSIONER MONAHAN: Aye.

8 CHAIR HOCHSCHILD: Commissioner Gallardo?

9 COMMISSIONER GALLARDO: Aye.

10 CHAIR HOCHSCHILD: And I vote aye as well. Item
11 11 passes three to zero.

12 We'll turn now to item 7.

13 And I need to exit to do this tribal
14 consultation. So my suggestion, Commissioner Gallardo will
15 run the meeting, do item 7 and then 17, which are non-
16 voting items, and then go ahead and recess. Thank you.

17 COMMISSIONER GALLARDO: All right, so for item
18 seven, Kristi Villareal. Thanks.

19 MS. VILLAREAL: Thanks. Okay, good afternoon,
20 Commissioner Gallardo, Commissioner Monahan. My name is
21 Kristi Villarreal, staff in the Fuels and Transportation
22 Division, and today I'll be presenting an overview of the
23 2023 Final Staff Report on Senate Bill 643. The report
24 covers multiple topics related to hydrogen, but at its
25 core, it is an assessment of the infrastructure

1 requirements to support refueling of medium- and heavy-duty
2 fuel cell electric vehicles and off-road mobile sources in
3 order to meet statewide goals.

4 The first draft of the SB 643 Staff Report was
5 published in September 2023 for stakeholder feedback with
6 staff presenting the results at a public workshop in
7 October. A revised version of the report that incorporated
8 feedback received was published and delivered to the
9 legislature this January.

10 Next slide, please.

11 SB 643 was signed into law in 2021 and is a
12 triennial reporting requirement for the CEC through 2030,
13 with a total of three reports. The next one is due by
14 December of 2026. The assessment will be an ongoing effort
15 though by staff during non-reporting years as well.

16 Related reports include the AB 2127 Final Staff Report,
17 which is the biennial reporting requirement that focuses on
18 the needs of light-duty and medium- and heavy-duty battery
19 electric vehicles, which was presented by my colleague,
20 Adam Davis at the last business meeting. The AB 8, which
21 will now be the AB 126 Report with CARB, is an annual
22 reporting requirement that assesses the status of the
23 refueling network for light-duty fuel cell electric
24 vehicles.

25 Next slide, please. Let's see. Sorry.

1 In September, 2020, Governor Newsom issued
2 Executive Order N-79-20, setting the requirements listed on
3 this slide, expanding sales and operation targets, and
4 directly addressing the effect that medium- and heavy-duty
5 vehicles and off-road mobile sources have on public health
6 and the environment, especially in disadvantaged and low-
7 income communities.

8 The goals set forth in the executive order have
9 influenced policies, regulations, and investments for
10 numerous California agencies and municipalities. These
11 include, among others, CARB's Advanced Clean Trucks
12 Regulation, adopted in 2021, which requires an increasing
13 fraction of truck sales to be ZEVs through 2035 with
14 specific targets for each vehicle class. The Advanced
15 Clean Fleets regulation, adopted just last year in 2023,
16 which requires fleet operators in certain segments to reach
17 100 percent ZEVs by 2035 or 2040, and off-road regulations
18 as well.

19 Next slide please.

20 The inaugural SB 643 assessment presents four
21 medium- and heavy-duty fuel cell electric vehicle
22 infrastructure scenarios. It highlights the success of
23 fuel cell electric buses, which have been successfully
24 operating in transit fleets for several years now, and
25 discusses a future demand scenario for fuel cell electric

1 buses. In-state clean hydrogen production, while currently
2 almost non-existent, is discussed as our developments in
3 hydrogen applications in the off-road/non-road sectors,
4 which include maritime, aviation, and rail. The report
5 also covers synergies between the sectors and looks at how
6 clean hydrogen and could potentially support the grid.

7 Next slide, please.

8 The SB 643 assessment provided three
9 infrastructure scenarios that used a similar approach with
10 CEC staff using scenarios of hydrogen fuel cell electric
11 vehicle stock to produce infrastructure scenarios from
12 assumptions regarding station capacity and number of
13 vehicles filled per day.

14 So the first one was CARB's 2022 Scoping Plan,
15 which included scenarios of MD/HC fuel cell electric
16 vehicle stock through 2045, so we used that vehicle stock
17 for the first scenario.

18 We also had a scenario where we used ARCHES,
19 which is a public-private partnership created to promote
20 and oversee the design and development and deployment of
21 hydrogen infrastructure projects in California and was
22 awarded up to 1.2 billion dollars by the U.S. Department of
23 Energy in October of 2023. The ARCHES scenario uses a
24 project-specific vehicle stock, thus yielding lower
25 infrastructure results, which I will discuss momentarily.

1 The Additional Achievable Transportation
2 Electrification 3, or AATE 3, is a framework from the CEC's
3 IEPR that uses economic and demographic inputs to determine
4 total vehicle stock and energy demand. AATE 3 vehicle
5 stock was used to produce that scenario.

6 Then finally, the fourth scenario is taken
7 directly from the CTC's SB 671 Clean Freight Corridor
8 Assessment, which identifies freight corridors and the
9 infrastructure needed to support the deployment of zero-
10 emission MD/HDs of both technology types, fuel cell
11 electric and battery electric.

12 Fuel cell electric buses, while discussed and
13 highlighted in the SB 643 report, were covered in a
14 separate chapter and are not included in any of these
15 infrastructure scenarios. However, they are likely to be
16 incorporated into our modeling and future assessments.

17 Next slide, please.

18 The preliminary results from the four scenarios
19 indicate the level of uncertainty of what infrastructure
20 needs will be in the future. The scenarios indicate that
21 anywhere from 1 to about 600 stations will be needed
22 statewide by 2030, and by 2035, anywhere from 11 to over
23 2,000 stations would be needed.

24 The scoping plan and SB 671 scenarios yielded the
25 most similar results of the four being compared. The

1 ARCHES scenario yielded lower results because this project
2 is specific and not really statewide.

3 The AATE 3 resulted in the lowest infrastructure
4 results and is important to note that future versions of
5 the AATE 3 will consider inputs in addition to the price of
6 hydrogen which produced the low infrastructure results.
7 And we've been working closely with EAD currently and plan
8 to in the future on that.

9 The heavy-load model which was developed by the
10 CEC staff with Lawrence Berkeley National Lab for MD/HD
11 battery electric truck charging station requirements is
12 incorporating hydrogen to produce future scenarios for the
13 next SB 643 assessment. Since the AB 2127 report uses
14 heavy load for its MD/HD scenarios, this will help
15 harmonize two reports in the future. The simulations
16 produced by the model will determine optimal locations for
17 hydrogen refueling infrastructure and quantify the
18 refueling demand over the identified locations and road
19 segments.

20 Next slide, please.

21 This slide shows completed or planned publicly-
22 available MD/HD hydrogen refueling stations throughout
23 California, most of which recently received public awards
24 from agencies including the CEC, the CTC, and others.
25 There are three completed stations in Southern California

1 indicated by the red dots. There are 32 refueling stations
2 that have been awarded funding and are in various stages of
3 development, which are represented by the blue dots.

4 I'd also like to note that there is an innovative
5 modular refueling station, I guess you could say it has an
6 address, in Ontario, which it is currently operating, too,
7 and refueling the Nikola fuel cell electric trucks.

8 Let's see.

9 Some of the stations on the map are planned as
10 multi-use, meaning that they will have fueling dispensers
11 available for of both light-duty and heavy-duty FCEBs. And
12 the CEC is developing a dashboard of MD/HD projects, both
13 charging and hydrogen, throughout the state which will help
14 show the anticipated future build out of stations along
15 major transportation corridors.

16 Next slide, please.

17 Fuel cell electric buses, or FCEBs, are really a
18 proven application of heavy-duty fuel cell electric
19 technology, successfully demonstrated more than 13 years
20 ago by AC Transit and integrated into California's transit
21 agencies fleets. Over 100 FCEBs are currently operating in
22 California with many more on order. In fact, the largest
23 orders of fuel cell electric buses were placed last year by
24 Santa Cruz Transit and San Mateo Transit. I don't know the
25 numbers offhand, but they were over 100, so that's pretty

1 exciting.

2 So transit agencies, though, have different
3 business models with hydrogen supply contracts based on
4 predictable demand and onsite maintenance technicians. In
5 contrast, MD/HD public refueling stations face the greater
6 challenges inherent to unpredictable supply and demand and
7 availability of trained technicians to maintain the
8 stations.

9 Just wanted to note that Appendix B of the report
10 includes data reported by transit agencies to CARB in 2023.
11 And the current and potential future FSEB purchases add up
12 to 5,678. This number may change in the future, of course,
13 depending on many factors, including the price and
14 availability of hydrogen.

15 Next slide, please.

16 Clean hydrogen production in California is nearly
17 nonexistent at this time. The CEC's Clean Transportation
18 Program has awarded \$22 million to six clean hydrogen fuel
19 projects that will increase production by nearly 40,000
20 kilograms per day. Four of the projects will use
21 electrolysis, while two will produce hydrogen through
22 biogasification.

23 In 2023, CEC-awarded project developer H2B2 began
24 commercial production at its site in Fresno, which is shown
25 on this slide here. The project is supplying clean

1 hydrogen to the California mobility market by using onsite
2 solar and electrolysis. The project during its initial
3 startup phase is shown on this slide.

4 The CEC's Energy Research and Development
5 Division's \$100 million Clean Hydrogen Program has and will
6 continue to provide financial incentives to eligible in-
7 state clean energy production projects as well.

8 Next slide, please.

9 The SB 643 assessment considered demand
10 requirements in current and future hydrogen production.
11 The scoping plan and SB 671 scenarios yielded an estimated
12 annual demand of about 180 million kilograms in 2030 and
13 over 600 million kilograms in 2035. The ARCHES scenario
14 resulted in an annual demand of about 75 million kilograms
15 in 2030 and 121 million kilograms in 2035. The AATE 3
16 scenario yielded under 50,000 kilograms in 2030 and
17 slightly under 700,000 kilograms in 2035.

18 When the current CTP-funded clean hydrogen
19 products have been completed, they will produce just over
20 14.5 million kilograms of hydrogen annually. That makes
21 private investments and successful public-private
22 partnerships even more important to reach an anticipated
23 demand for most of these scenarios.

24 Next slide, please.

25 SB 643 also asked us to touch on off-road and

1 non-road applications. But currently in the United States,
2 with the exception of fuel cell electric forklifts, most
3 off-road/non-road applications are still in demonstrations.

4 The picture towards the top of the slide shows,
5 to the left, it shows a fuel cell electric forklift. Very
6 interestingly, at this time, over 70,000 hydrogen-powered
7 forklifts are currently operating in the United States.

8 Recently, the first electrolyzer system was
9 completed at an Amazon site in Colorado. The hydrogen,
10 clean hydrogen produced by the one-megawatt proton exchange
11 membrane electrolyzer can support 400 hydrogen fuel cell-
12 powered forklifts. This model of onsite production,
13 storage, and utilization avoids emissions generated from
14 transporting the fuel from one location to another.

15 The picture on the lower right -- actually that
16 got changed. Yeah, no, that's right. Pardon me.

17 On the lower right of the slide is a hydrogen
18 fuel cell and battery-powered mining haul truck, which
19 stands three stories tall and weighs 500 metric tons fully
20 loaded, which is operating in South Africa, and they're
21 developing more.

22 Next slide, please.

23 Just wanted to provide some visuals of
24 demonstrations using hydrogen, such as for aviation,
25 maritime, and rail applications.

1 On the lower left is a picture of a hydrogen-
2 fueled plane. The upper right is a hydrogen-powered ferry
3 that has operated in the San Francisco Bay. Also the San
4 Bernardino County Transportation Authority will be piloting
5 zero-emission rail technology for passenger rail service,
6 with plans to debut North America's first battery and
7 hydrogen-powered train this year. The zero-emission
8 multiple-unit rail vehicle will replace one diesel multiple
9 unit and provide service along a nine-mile rail corridor.

10 Pardon me.

11 Next slide, please, and final slide.

12 I just wanted to provide some kind of key
13 takeaways from this inaugural assessment.

14 The variance between the infrastructure scenarios
15 demonstrates the current level of uncertainty. Fuel cell
16 electric buses are successfully operating and have been
17 part of California's transit agency fleets and more are on
18 order. Off-road/non-road fuel cell electric applications
19 are predominantly demonstrations, but developments in
20 sectors such as aviation and rail will be closely tracked
21 and assessed for potential future hydrogen demand
22 scenarios. Clean hydrogen production needs to ramp up to
23 meet anticipated demand. ARCHES projects are anticipated
24 to help in the longer term, but in the shorter term, supply
25 shortages and disruptions are an issue that the light-duty

1 sector is currently experiencing.

2 Thank you for your time today. And I'm happy to
3 answer any questions and receive feedback for this in
4 future assessments.

5 COMMISSIONER GALLARDO: Thank you so much,
6 Kristi.

7 So this is an informational item, so we will not
8 have public comment.

9 Commissioner Monahan?

10 COMMISSIONER MONAHAN: Yeah, well, I just want to
11 compliment Kristi, who basically did this whole study, and
12 I'm sure had managerial support but really just an amazing
13 job considering, especially considering, this is the first
14 ever. We have very few fuel cell vehicles in the medium-
15 and heavy-duty space on the road. And so that makes this
16 assessment particularly challenging. And we're also facing
17 a time when hydrogen prices have more than doubled. And so
18 there's, you know, there's just a lot of variance in what
19 modelers are anticipating going forward.

20 We are seeing, as Kristi highlighted, a lot of
21 interest in -- through our energized commercial vehicles
22 grant program in hydrogen infrastructure. I just met with
23 ports this week and they're all really interested in
24 hydrogen as a port strategy, port decarbonization strategy.
25 And together with ARCHES, like there's -- we have a lot of

1 reason for optimism that prices of truly clean hydrogen are
2 going to fall, and we're going to have a bigger scale of
3 hydrogen and to be able to use for these hard to
4 decarbonize purposes. So I think in two years, we'll know
5 a lot more. In probably six years, we'll know what's
6 happening, but at this point, it's very early.

7 And so I think this report just highlighted that
8 we don't have all the answers. We're trying to do the best
9 analysis we can. There's a lot of places where there could
10 be a good role for hydrogen to fit as long as we can get
11 truly clean hydrogen and bring the price down.

12 MS. VILLAREAL: Thank you.

13 COMMISSIONER MONAHAN: Yeah.

14 COMMISSIONER GALLARDO: I too want to thank you
15 for the great presentation, Kristi. And it does look like
16 it was very thoughtful, very diligent. And I want to
17 highlight that you had some really good visuals in there,
18 which is helpful, you know, for those of us who aren't, you
19 know, reading about that or are in that space often, so I
20 thank you for that.

21 And I also wanted to thank Elizabeth, who's still
22 here in the room on item nine, also had a great visual with
23 the map. And Jana did too, I don't see her here, but on
24 item 11. And so just noting that those are really helpful.
25 So I know how much work you do, and then to also have to do

1 these presentations is an extra burden, however, it's very
2 beneficial for us.

3 And on that note, there was a picture in there.
4 I think it's the slide number 84, if you could go back to
5 that, our Zoom crew in the back.

6 I think you mentioned something about the -- it
7 was a mining equipment and it was three stories high.

8 MS. VILLAREAL: Yes.

9 COMMISSIONER GALLARDO: Did you mean three
10 stories, like three stories of like of a building?

11 MS. VILLAREAL: Yeah.

12 COMMISSIONER GALLARDO: Because it doesn't look
13 that big in the picture, but that just sounds incredible to
14 me that we could power something like that's that big.
15 So --

16 MS. VILLAREAL: Yeah. There's a battery
17 involved, as well, so there's a battery.

18 COMMISSIONER GALLARDO: Ah, okay. Okay.

19 MS. VILLAREAL: But it's really, you know, it's a
20 hydrogen fuel cell mining truck is how it's defined by the
21 manufacturer. And I think it's operating well and it's
22 providing, you know, zero emission, hopefully, depending on
23 the source of hydrogen.

24 You know, mining is such a polluting kind of
25 sector anyway, so it's really important to get that kind of

1 off three story high for this.

2 COMMISSIONER GALLARDO: That one on the right;
3 correct?

4 MS. VILLAREAL: Yeah. Supposedly three-story
5 high. Those are some big tires though. And so that is a
6 highly polluting sector.

7 So, yeah, a lot going on internationally. I
8 touched on it briefly. I would have loved to touch on it
9 more, and we'll do that, hope to do that, in future
10 assessments.

11 COMMISSIONER GALLARDO: Well, that's exciting.

12 And then this slide has a picture of, you know,
13 the electric forklift, which reminded me of the visit we
14 did, Commissioner Monahan, during the 2022 IEPR out to
15 Oxnard to drive one of those. And they're so easy to
16 drive, surprisingly, and fun. So anyways, I'm always just
17 impressed with the technology, how much we're innovating
18 and really glad that we're doing the analyses this way on
19 that.

20 And then I did have one final comment. I think
21 on the next slide, slide 85, you mentioned the maritime
22 opportunities as well. There is a tribe called the
23 Chemehuevi over near Needles, and they operate a ferry
24 throughout the day, and it's, I think, it's diesel-based.
25 And they were hoping for some opportunities to do something

1 clean. So just reminded me of that potential opportunity
2 as well. And I know that, you know, tribes in general are
3 really seeking to be leaders in clean energy, so that could
4 be a possibility to down the road. Something to consider.

5 All right, I don't have any other comments or
6 questions.

7 Do you?

8 COMMISSIONER MONAHAN: Just one quick comment,
9 which I was hoping the vice Chair would be here considering
10 the connection with EAD. So I just would recommend
11 reaching out to the Vice Chair's Office and see if he wants
12 a briefing on this.

13 MS. VILLAREAL: Okay. Excellent.

14 COMMISSIONER MONAHAN: Yeah.

15 MS. VILLAREAL: All right. Thank you both.

16 COMMISSIONER GALLARDO: Thank you so much.

17 All right, so let's move over to item number 17,
18 which are the Lead Commissioner or Presiding Member
19 reports.

20 Commissioner Monahan, do you have a report that
21 you want to deliver?

22 COMMISSIONER MONAHAN: I wonder if we should skip
23 this, given it's just the two of us, and then hold it for
24 next month when we have everybody and then we could do it
25 all. I mean --

1 COMMISSIONER GALLARDO: I'm feeling you.

2 COMMISSIONER MONAHAN: Yeah. It just seems a
3 little silly, but --

4 COMMISSIONER GALLARDO: Which would mean we would
5 take a break so that we can enable the Chair to return to
6 proceed with the other items, which are voting items.

7 So let's see.

8 COMMISSIONER MONAHAN: All right. What time is
9 the Chair -- is it an hour?

10 COMMISSIONER GALLARDO: It's a consultation. I
11 don't know if it was still --

12 COMMISSIONER MONAHAN: So should we reconvene at
13 3:00?

14 COMMISSIONER GALLARDO: Okay. It looks like he's
15 returning at 3:00, potentially.

16 COMMISSIONER MONAHAN: Okay.

17 COMMISSIONER GALLARDO: All right, so why don't
18 we take a break now and let's say we'll return at 3:15 to
19 stay on the safe side. Okay. All right. So we'll do
20 that. 3:15 will be our return time.

21 Thank you everybody and apologies for the breaks
22 here.

23 (Off the record at 2:23 p.m.)

24 (On the record at 3:19 p.m.)

25 CHAIR HOCHSCHILD: Welcome back everybody. Let

1 me thank Commissioner Gallardo and Commissioner Monahan.

2 We're going to turn now to item eight, which is
3 Orders to do Rulemaking on AB 1373 POU Capacity Payment
4 Implementation.

5 And I welcome Liz Gill.

6 MS. GILL: All right. Good afternoon, Chair and
7 Commissioners. My name is Liz Gill and I'm the Branch
8 Manager for the Reliability Analysis Branch in the Energy
9 Assessments Division. And today we are bringing an order
10 to open a rulemaking on Assembly Bill 1373, Publicly Owned
11 Utility Capacity Payment Implementation.

12 So this rulemaking will allow the CEC to
13 implement our AB 1373 requirements to determine whether
14 publicly owned utilities in the CAISO balancing area are
15 meeting their planning reserve margin requirements during
16 the time that the Department of Water Resources triggers
17 the Strategic reliability reserve and for the CEC to issue
18 capacity payments as appropriate.

19 Next slide, please.

20 All right, so this will benefit Californians
21 through supporting electric reliability during extreme
22 events, which is essential to protecting the health and
23 safety of Californians during episodes of, for example,
24 extreme heat. These capacity payments will also provide an
25 additional incentive to utilities to meet their established

1 planning standards and funding the reserve when leaned on.

2 Next slide, please.

3 In brief summary, the state has identified the
4 need for contingency resources to protect electric
5 reliability during climate-driven extreme events, such as
6 extreme heat, wildfires, and drought. This figure
7 illustrates how we think about the various elements driving
8 the need for contingency resources. The standard for load
9 serving entities and POUs is a plan to a one event in ten
10 year loss of load expectation.

11 The need for contingency resources occur when one
12 or more of several things happen. First, project delays
13 that prevent resources from being interconnected when
14 they're needed, the state experiences widespread, intense,
15 and extended extreme heat, similar to what we experienced
16 in 2020 and 2022, or the state experiences catastrophic
17 wildfires that impact transmission capacity and to and
18 within the state.

19 Next slide.

20 So in order to address the reliability
21 challenges, the state is taking action across our planning
22 and implementation processes. First, through improving our
23 planning processes, ensuring timely and sufficient
24 procurement, and improving processes associated with
25 interconnection and permitting. Second, through scaling

1 resources, both on the demand side and the supply side.
2 And then finally, through developing contingency resources
3 to support reliability during extreme events. The state's
4 approach is to deploy the Strategic Reliability Reserve,
5 which is what today's item relates to.

6 Next slide, please.

7 So the Strategic Reliability Reserve was
8 established in 2022 through Assembly Bill 205. There are
9 three components of the reserve. DWR's Electric Supply
10 Strategic Reliability Reserve Program, the CEC's Demand-
11 Side Grid Support Program, and the CEC's Distributed
12 Electricity Backup Assistance Program.

13 In 2023, Assembly Bill 1373 then established
14 capacity payments for both CPUC jurisdictional load serving
15 entities, and publicly owned utilities in the CAISO
16 balancing area that lean on DWR's strategic reliability
17 reserve, or in other words, don't procure to meet their
18 reliability needs even within the planning standard at the
19 same time that DWR strategic reliability reserve is
20 triggered to serve load during an emergency event.

21 So 1373 requires the CPUC to establish payments
22 for LSEs and the CEC to establish payments for POUs. The
23 CEC will coordinate with the CPUC to ensure equitable
24 implementation of the program.

25 Next slide, please.

1 At a high level, AB 1373 specifically requires
2 the following. First, DWR will determine whether resources
3 were procured for the reserve, and if they were used to
4 meet an identified reliability need during a given month.
5 The CEC will then determine whether POU's in the CAISO
6 balancing area are meeting their planning reserve margin
7 for that given month, and those that fail to meet their PRM
8 will be subject to a capacity payment. The CEC must assess
9 capacity payments annually and deposit those payments into
10 the DWR's Strategic Reliability Reserve Fund. And so this
11 rulemaking will establish regulations for assessing and
12 collecting those capacity payments.

13 Next slide.

14 In conclusion, staff recommends that the
15 Commission approves the order to start the rulemaking
16 process to develop CEC regulations associated with the new
17 capacity payment and depositing the monies into the ESSRRP
18 fund.

19 And next slide.

20 So next steps include the pre-rulemaking process,
21 draft proposed regulations, seeking and incorporating
22 feedback on the proposed regulations, draft staff report,
23 and then eventually coming back here to present proposed
24 regulations at a future business meeting.

25 I'll just say that we look forward to engagement

1 throughout the process with the POUs, the ISO, the CPUC,
2 and DWR, as we work through how to implement this.

3 Before I conclude, I'd also like to thank our CCO
4 team that have been great support in getting this OIR
5 ready, and Kristin Whiddifield in the Energy Assessments
6 Division.

7 Thank you.

8 CHAIR HOCHSCHILD: Any public comment on item
9 eight?

10 MS. BADIE: Thank you.

11 The Commission now welcomes public comment on
12 item eight. If you're joining us in the room, we've asked
13 folks to use the QR code or visit the Public Advisors table
14 in the back of the room. You can also wave your hand and
15 let me know. And if you're joining us by Zoom, please use
16 the raise-hand feature on your screen. And if you're
17 joining by phone, please press star nine to let us know
18 you'd like to make a comment. Great.

19 We don't have anyone in the room, so I'm going to
20 move on to Zoom.

21 Tony Braun, I'm going to open your line. Could
22 you please spell your name for the record? We're also
23 asking for comments to be two minutes or less.

24 MR. BRAUN: This should be far less than that.
25 This is Tony Braun, T-O-N-Y B-R-A-U-N.

1 A quick question. Is it expected that an
2 Administrative Procedure Act process is going to be
3 followed for this? Just trying to, you know, assess the
4 length of the proceeding and similar matters.

5 MS. GILL: Yes, this will follow the standard EPA
6 process.

7 MR. BRAUN: Thank you, Liz. Appreciate it.

8 MS. BADIE: All right, does that conclude your
9 comment, Tony?

10 MR. BRAUN: Yes, ma'am.

11 MS. BADIE: Okay. Thank you.

12 And that was the only comment we had, Chair.
13 Back to you.

14 CHAIR HOCHSCHILD: Okay, unless there's
15 Commissioner discussion -- yes, go ahead.

16 COMMISSIONER MONAHAN: Not a discussion, but just
17 a quick question, Liz, which I'm sure you can answer. So,
18 and maybe building off of the commenter's question, just
19 what's the timeline to get to the finish line? And is
20 there --

21 MS. GILL: As quickly as possible.

22 But, Lisa, do you have a better sense of
23 (indiscernible)?

24 MS. DECARLO: I think it all depends on the
25 initial engagement and how quickly we can develop

1 regulations, express terms that seem viable and meet
2 everyone's expectations for the program.

3 MS. BADIE: Yeah. And staff believe that it
4 should be pretty soon to approve the questions.

5 CHAIR HOCHSCHILD: Unless there's other
6 discussion, I'd welcome a motion from Commissioner Monahan
7 on item eight.

8 COMMISSIONER MONAHAN: I move to approve item
9 eight.

10 CHAIR HOCHSCHILD: Is there a second from
11 Commissioner Gallardo?

12 COMMISSIONER GALLARDO: I second.

13 CHAIR HOCHSCHILD: All in favor say aye.
14 Commissioner Monahan?

15 COMMISSIONER MONAHAN: Aye.

16 CHAIR HOCHSCHILD: Commissioner Gallardo?

17 COMMISSIONER GALLARDO: Aye.

18 CHAIR HOCHSCHILD: And I vote aye as well. Item
19 eight passes three to zero.

20 We'll turn now to item ten, Responsive, Easy
21 Charging Products with Dynamic Signals.

22 Welcome Jeffrey Lu to present.

23 MR. LU: Yeah. Good afternoon, Commissioners.

24 My name is Jeffrey Lu. I'm staff in the Fuels and
25 Transportation Division. I'm very happy to be here and I'm

1 excited to present item ten of today's agenda to you which
2 includes two agreements from our recent REDWDS
3 solicitation.

4 Next slide, please.

5 The agreements that I'm presenting today are
6 projects that were submitted to our solicitation titled
7 Responsive Easy Charging Products with Dynamic Signals, or
8 what we affectionately call REDWDS. REDWDS provides
9 funding for the development of intelligent and easy-to-use
10 charging products which help customers manage their EV
11 charging in response to electricity prices and other
12 similar grid signals.

13 Such products can come in many different kinds of
14 forms. They can be smart one-way chargers. They can be
15 bidirectional chargers. They can also be cloud-based
16 optimization software. In other words, REDWDS will help
17 accomplish load flexibility with electric vehicles, which
18 will help customers save money on charging and also support
19 a more reliable grid.

20 REDWDS also provides fundings for these projects
21 to deploy these developed products with customers
22 throughout California. One thing I want to highlight is
23 that in our agreement terms, we've included provisions for
24 possible additional funding to help further scale up
25 deployments if projects demonstrate that they meet certain

1 performance metrics early on in the project. This
2 additional funding would be subject to the availability of
3 CEC funds in the future and also the approval of the CEC
4 Executive Director. For today funding for REDWDS projects
5 comes from the State General Fund as well as the Clean
6 Transportation Program.

7 Late last year we announced about ten -- we
8 announced ten proposed awards for REDWDS and today we're
9 bringing you the first two agreements for your
10 consideration, one with Bidirectional Energy, LLC, and one
11 sorry -- Bidirectional Energy, Incorporated, and one with
12 Everergi, LLC. The remaining eight agreements are being
13 finalized and will be presented at future business meetings
14 for your consideration.

15 Next slide, please.

16 A bit about the benefits of these projects. We
17 expect that all of the projects awarded through REDWDS will
18 benefit Californians by advancing load flexibility,
19 supporting the CEC's load management standards, and by
20 extension supporting a cleaner and more reliable energy
21 grid.

22 For today's item specifically, Everergi's project
23 will help reduce fleet operator costs and the emissions
24 from electricity used to charge fleet vehicles. In
25 addition to supporting more reliable grid operations, the

1 project will streamline fleet management by using inputs
2 such as the fleet's schedules, live vehicle information,
3 and also grid signals. In the first phase of the project,
4 Everergi will deploy 54 new chargers.

5 On the other hand, Bidirectional Energy will
6 develop a residential bidirectional charging product that
7 will help customers reduce the electricity costs and
8 emissions associated with the electricity used to charge
9 their EVs. The product will also support reliable grid
10 operations and will give some customers greater confidence
11 if they choose to activate the product's backup power
12 capability. In the first phase of that project,
13 Bidirectional Energy will install 120 new bidirectional
14 chargers.

15 Next slide, please.

16 We'd like to offer a bit more detail on each of
17 these projects.

18 For Everergi, they will deploy managed charging
19 with fleets using off-the-shelf charters paired with a
20 software platform that's developed by a project partner
21 called BetterFleet. This project will help fleet managers
22 more easily manage and prioritize charging for their fleet
23 vehicles based on things like electricity costs, their
24 scheduling needs, and also the current status of each
25 vehicle. Project sites will be at fleet yards throughout

1 California, including in Oakland, Rancho Cordova, San
2 Diego, San Jose, San Simeon, and Thousand Oaks. For phase
3 one, the CEC is providing \$1.8 million and Everergi is
4 providing \$995,000 in match.

5 Next slide, please.

6 The second and final agreement for today is with
7 Bidirectional Energy. Bidirectional Energy will build a
8 residential charging offering that includes a software
9 platform developed in-house, paired with a bidirectional
10 charger developed in partnership with a company called
11 Wallbox. The software platform will include a customer-
12 facing app that enables folks to automate their vehicles
13 charging and discharging in response to electricity prices
14 and similar signals.

15 For example, a customer could choose to offset
16 their home's electricity usage at peak hours using their
17 car's battery, and this will help save them money. As
18 another example, they can choose to discharge to the grid
19 during an emergency event, which will also help save them
20 money and support grid reliability.

21 As part of the project, Bidirectional Energy will
22 install 120 new bidirectional chargers at single-family and
23 small multifamily residences throughout California. For
24 phase one, CEC is providing 2.2 million and bidirectional
25 energy is providing \$990,000 in match.

1 Next slide, please.

2 CHAIR HOCHSCHILD: Jeffrey, sorry. How quickly
3 will those bidirectional charters be installed?

4 MR. LU: They'll be launching this year. So I
5 think as soon as we hopefully approve these agreements, I
6 know at least Bidirectional Energy is ready to start
7 deploying --

8 CHAIR HOCHSCHILD: Okay.

9 MR. LU: -- or at least looking for customers.

10 All right, so this is the last slide. I'm really
11 thrilled to bring you these projects today. Staff is
12 seeking your approval of these grant agreements, as well as
13 adoption of our determination that these actions are exempt
14 from CEQA.

15 I think we do have folks or we may have folks
16 from Everergi and Bidirectional Energy on the phone, and
17 they can help with questions if you want. Thanks for your
18 time.

19 Thanks to the teams in FTD and CCO for making
20 this possible. And I'm happy to answer any questions.

21 CHAIR HOCHSCHILD: Thank you so much.

22 Let's go to public comment on item ten.

23 MS. BADIE: Good afternoon again. This is Mona
24 Badie, the Public Advisor. The Commission now welcomes
25 public comment on item ten.

1 If you're joining us in the room, we're asking
2 folks to use the QR code, or you can also wave your hand.
3 And if you're joining by Zoom, please use the raise-hand
4 feature that's on your screen. It looks like an open palm.
5 You can do that now. And if you're joining by phone,
6 please press star nine to let us know you'd like to
7 comment.

8 First, we'll hear from James Frey.

9 James, I'm going to open your line. If you could
10 please spell your name for the record? We're asking for
11 comments to be two minutes or less.

12 MR. FREY: Yeah. Thank you very much everyone
13 for including the public on these exciting progress
14 inflection points for California. And in this case, my
15 name is James Frey, F-R-E-Y, and I work for 2050 Partners,
16 and we frequently consult with the California IOU Codes and
17 Standards Group, and we comment regularly on the CALGreen
18 EV language from BSE and HCD. And it's very exciting to
19 see some bidirectional futures in front of us. Thank you,
20 Jeffrey.

21 And what I'd like to do is ask just one question
22 about the nature of the bidirectional functionality. Will
23 this be via home or via grid or both?

24 Thank you.

25 MR. LU: Yeah, I believe it's both. I know we

1 have -- Frances has her hand up, too, and she may be able
2 to address that question directly as well. She's on the
3 Bidirectional Energy Team.

4 MS. BADIE: Thank you.

5 Next, we'll hear from Stephen Rosenblum.

6 Stephen, I'm going to open your line. If you
7 could please state and spell your name for the record?
8 We're asking for comments to be two minutes or less.

9 MR. ROSENBLUM: Hi. My name is Stephen
10 Rosenblum, S-T-E-P-H-E-N R-O-S-E-N-B-L-U-M. I'm a member
11 of Climate Action California. And I really applaud this
12 effort by the CEC to encourage a development of
13 bidirectional charging.

14 We all know that there are over a million EVs in
15 California with a corresponding huge amount of battery
16 storage capability on site in local communities ready to be
17 connected to the grid as virtual power plants. And it just
18 needs proper regulations and permitting procedures
19 structures to allow this facility to be brought into
20 practice. It's particularly important in times that were
21 just alluded to in the previous presentation about
22 emergency situations where the grid is under stress, that
23 these are localized power storage facilities that can
24 easily help the grid be stabilized without concerns about
25 long-distance power distribution lines.

1 So we, as an organization, we strongly support
2 this use of bidirectional vehicle charging to support the
3 grid and to stabilize the grid.

4 Thank you very much for your efforts in this area
5 and I hope that you'll continue to push forward with this
6 program. Thank you.

7 MS. BADIE: Thank you.

8 Next, we'll hear from Frances Bell.

9 Frances, I'm going to open your line. If you
10 could please spell your name for the record? We're asking
11 for comments to be two minutes or less.

12 If we could restart the timer, please?

13 MS. BELL: Hi. This is Frances Bell. I am one
14 of the founders of Bidirectional Energy and the recipient
15 of the REDWDS Grant. Bidirectional Energy is a virtual
16 power plant for bidirectional electric vehicle chargers and
17 EVs.

18 To answer James Frey's question, we're confirming
19 that the bidirectional chargers will provide both V2H and
20 V2G capabilities.

21 I'd like to thank the CEC for providing funding
22 to support development and deployment of electric vehicle
23 charging, especially bidirectional EV charging. With these
24 funds, we are excited to deploy some of the first
25 residential bidirectional EV chargers in California

1 starting this May 2024. These bidirectional chargers will
2 unlock the ability for ratepayers to both charge as well as
3 discharge their vehicle to supply power to their home into
4 the grid.

5 The project team includes Wallbox as the charger
6 provider, as well as COIL as the electrician and installer.
7 Together we are pleased to provide EV owners both V2H and
8 V2G capabilities so that they can manage their electric
9 vehicle charging and discharging, minimize utility bill
10 costs, and earn additional revenue through participation in
11 grid programs such as DSGS, ELRP, and dynamic rates.

12 By enabling these capabilities, bidirectional EV
13 charging will also offer broader benefits to California
14 ratepayers and utilities. Shifting residential demand, as
15 well as supplying power during grid events, extends the
16 existing capacity of the grid, thus avoiding expensive grid
17 upgrades while increasing the utilization of the present
18 infrastructure we have today.

19 We believe that this project is just a start to
20 demonstrating how EVs through bidirectional charging can be
21 a benefit to the grid by reducing and shifting growing
22 capacity demands. We thank the CEC and our CAM, Jeffrey
23 Lu, for the opportunity to demonstrate the positive impact
24 in residential bidirectional EV chargers can make.

25 Many thanks.

1 MS. BADIE: Thank you.

2 That concludes public comment. Back to you,
3 Chair.

4 CHAIR HOCHSCHILD: Okay. I had a question if
5 that's okay.

6 So typically in California, I would guess the
7 average amount of kilowatt hours in an electric vehicle is
8 about 70, okay? And, you know, you think about like a
9 Powerwall, which is a, you know, most common battery
10 backup. That's 13 and a half kilowatts, so about 5
11 Powerwalls equivalent in every electric vehicle, so a lot
12 of power in those. But like a Powerwall will dispatch at
13 5kW when they're called. What is the -- how many kilowatts
14 of dispatch are we talking for EVs with these charters?

15 MR. LU: Yeah, it will depend on the charter
16 that's being designed. In this case, with Wallbox, I think
17 it's about 11 kilowatts.

18 CHAIR HOCHSCHILD: Eleven. Okay. Okay. That's
19 helpful. That's really good to know.

20 Commissioner Monahan?

21 COMMISSIONER MONAHAN: Well, I'm so excited about
22 these series of, A, REDWDS, what a great name, who doesn't
23 love a Redwood, but also just that we've, you know, we've
24 rolled out programs for school buses, but we've never done
25 anything in the light-duty space. And, you know, that's

1 where most of these big batteries on wheels are right now.
2 And so unlocking that or trying to unlock that value stream
3 is something that I think is really going to be important
4 for California meeting our clean energy goals. And it
5 remains theoretical. And these grants are putting this
6 theory into practice. And I think we're going to learn a
7 lot about what works and what doesn't work and what's cost
8 effective and what isn't.

9 But, you know, to be able to provide energy back
10 to the grid at peak times when the grid is stressed and,
11 ideally, save EV drivers money is the future that we're
12 trying to get to. And, you know, we've seen utilities do
13 some pilot programs in this space. But I just am excited
14 for the CEC to be a player in really unlocking this market.

15 And I want to thank you, Jeffrey and Kyle
16 Pratt, who both have been real thought leaders. And I'm
17 always pinging Jeffrey with questions and he always answers
18 in a way that you can understand. So congratulations on
19 being an engineer who can communicate.

20 So, yeah, I just think these grants really are
21 both combining transportation and our clean energy goals
22 into one, so they're just a perfect fit for us.

23 CHAIR HOCHSCHILD: Are you enthusiastic enough to
24 move the item?

25 COMMISSIONER MONAHAN: I move this item.

1 CHAIR HOCHSCHILD: All right. A motion for item
2 ten from Commissioner Monahan.

3 Is there a second from Commissioner Gallardo?

4 COMMISSIONER GALLARDO: I second.

5 CHAIR HOCHSCHILD: All in favor say aye.

6 Commissioner Monahan?

7 COMMISSIONER MONAHAN: Aye.

8 CHAIR HOCHSCHILD: Commissioner Gallardo?

9 COMMISSIONER GALLARDO: Aye.

10 CHAIR HOCHSCHILD: And I vote aye as well. Item
11 ten passes three to zero.

12 Congratulations, Jeffrey and team. Really,
13 really exciting project and keep us posted how it goes.

14 All right, with that, we'll turn to item 12,
15 Regents of the University of California, on behalf of the
16 San Diego Campus.

17 MS. KEDZIE: Good afternoon, Chair and
18 Commissioners. My name is Elyse Kedzie and I'm a Utilities
19 Engineer in the Energy Research and Development Division.
20 I am presenting a proposed EPIC award with the University
21 of California at San Diego for the Cost Share for Federal
22 Clean Energy Funding Opportunities solicitation.

23 Next slide, please.

24 As California accelerates into a decarbonized and
25 electrified future, batteries have become a ubiquitous

1 tool. On the grid there is over six gigawatts of installed
2 energy storage, the majority of which is lithium ion
3 batteries. In addition, battery electric vehicles made up
4 25 percent of the new car market in 2023.

5 As the demand for lithium batteries has
6 increased, the technology supply chain has become more
7 strained, driving up costs and lead times for new products.
8 Furthermore, there are growing concerns about the
9 humanitarian impacts, environmental sustainability, and
10 geopolitical tensions involved in sourcing battery
11 materials overseas.

12 At the federal and state levels, funding
13 opportunities to build domestic battery supply chain and
14 manufacturing capabilities have spurred new innovations in
15 battery recycling.

16 While some lithium-ion battery recycling
17 operations exist, these processes use high-cost, high-
18 energy intensity, and low-efficiency methods to recover few
19 valuable metals, like cobalt and nickel, from battery
20 cathodes. The rest of the battery materials, like the
21 lithium, organic solvents, and other metals found in the
22 cathode are typically discarded.

23 Addressing this issue of low material recovery,
24 the proposed project with UCSD plans to develop and scale
25 up a more efficient process for lithium ion battery

1 recycling. UCSD estimates that if 75 percent of the used
2 EV batteries entering the recycling stream -- enter the
3 recycling stream, sorry, this process could result in
4 electricity savings of up to 1200 gigawatt hours annually
5 by 2030. By reducing the energy intensity of battery
6 recycling, this process has an estimated 80 percent lower
7 greenhouse gas emissions than conventional methods.

8 This proposed project is a federal cost share
9 award leveraging \$10 million of bipartisan infrastructure
10 law funding from the U.S. Department of Energy, along with
11 an additional \$1.3 million of other cost share, for a total
12 of over \$11 million in cost share funding. UCSD was
13 previously awarded an Applied Research and Development
14 Grant through CEC's EPIC Program that enabled them to
15 develop this direct battery recycling process.

16 Next slide, please.

17 This proposed project will build off of UCSD's
18 previous award, scaling their direct recycling process for
19 lithium batteries with an initial increase from 1 kilogram
20 to 10 kilogram, then to near market level of 100 kilogram
21 of cathode material produced per day.

22 Their direct recycling process features three key
23 steps, as shown on this slide, electrolyte extraction and
24 recycling, cathode and anode separation, and their
25 proprietary prime process in which they regenerate the

1 cathode material. Because of the lower heat inputs, fewer
2 process steps, and higher recovery rate, this direct
3 recycling process has the potential to lower the emissions
4 and energy intensity of lithium battery recycling compared
5 to conventional methods.

6 In order to move from the lab scale to a pilot
7 production scale, the team will upgrade to larger
8 industrial equipment to enable higher throughput of
9 recycled material. UCSD will partner with Expos Technology
10 (phonetic) who will serve as the demonstration site host at
11 their facility in San Diego. The recipient will develop
12 operating procedures to process three commonly used EV
13 battery cathode types, each requiring specific parameters.

14 Once the cathode material has been recovered, the
15 recipient will build battery cells to test the cycling
16 performance. Project partners, Argonne National Lab and
17 General Motors will also test and characterize the
18 recovered cathode material to identify any improvements
19 needed for the recycling process.

20 The successful completion of this project will
21 support the development of a high yield, low emission
22 pilot-scale lithium battery recycling process.

23 Next slide, please.

24 Staff recommends adoption of staff's
25 determination that this action is exempt from CEQA and the

1 approval of this grant agreement with the University of
2 California at San Diego.

3 That concludes my presentation and I am now happy
4 to take any questions.

5 CHAIR HOCHSCHILD: Thank you so much.

6 Let's go to public comment on item 12.

7 MS. BADIE: Hello. Mona Badie here again. The
8 Commission welcomes public comment on item 12.

9 If you're joining us in the room, we ask that you
10 let us know you'd like to comment by using the QR code or
11 visiting the Public Advisor table. And if you're joining
12 us by Zoom, please use the raise-hand feature on your
13 screen. And if joining by phone, press star nine at this
14 time.

15 And I'm not seeing any hands for this item, so
16 back to you, Chair.

17 CHAIR HOCHSCHILD: Okay, well, first of all, this
18 is music to my ears. Correct me if I'm wrong, but is this
19 one of the first grants we've done on lithium recycling?

20 MS. KEDZIE: We've done previous R&D-style awards
21 through EPIC and we have a battery repurposing agreement.

22 CHAIR HOCHSCHILD: Yeah, but I'm talking about for
23 recycling, definitely, to my memory, it's the most
24 significant.

25 But I think just to be clear, like the vision is

1 first, reuse, which is what our investments in
2 Smartville -- what's the one out of Davis, RePurpose,
3 Smartville and RePurpose, which are great. And they're
4 taking used EV batteries that are down to whatever, 75
5 percent of the nameplate, put a nameplate in the metal
6 shipping container doing stationary energy storage, and
7 then at the end of that life, then recycle. And then of
8 course, you know, we're trying to produce lithium upstream
9 sustainably.

10 So this is just a really important piece. So
11 thank you and congratulations for the good work to get this
12 project to this point. I'm thrilled to support it.

13 Any other comments?

14 COMMISSIONER GALLARDO: I'm excited about this
15 one, too, because we are thinking about with Lithium
16 Valley, you know, that full cycle. And so this, like the
17 Chair is saying, this is part of that puzzle that would be
18 really helpful to have, so I'm eager about this.

19 COMMISSIONER MONAHAN: Yeah, just a quick, me
20 too. I got to visit the pilot Phase 1, I guess, of the
21 project, and so it's great to see that this next level. So
22 excited for it.

23 CHAIR HOCHSCHILD: Keep us posted how this
24 progresses. I'm really interested in what are the -- what
25 barrier busting do we need to really make lithium recycling

1 go? I'm going to be meeting with J.B. Straubel, the CEO of
2 Redwood Materials, which is the largest lithium recycler,
3 who used to be a Tesla and now he's got this thing going.
4 I'm really curious. I don't feel I have my hands around
5 the lithium recycling opportunity fully yet. We got to get
6 that figured out.

7 So anyway, thrilled to see this progress, and I'd
8 welcome a motion from Commissioner Gallardo on item 12.

9 COMMISSIONER GALLARDO: I move to approve item
10 12.

11 CHAIR HOCHSCHILD: Is there a second from
12 Commissioner Monahan?

13 COMMISSIONER MONAHAN: I second.

14 CHAIR HOCHSCHILD: All in favor say aye.
15 Commissioner Gallardo?

16 COMMISSIONER GALLARDO: Aye.

17 CHAIR HOCHSCHILD: Commissioner Monahan?

18 COMMISSIONER MONAHAN: Aye.

19 CHAIR HOCHSCHILD: And I vote aye as well. Item
20 12 passes three to zero.

21 We'll turn now to item 13, Eagle Rock Analytics,
22 and I welcome Susan Wilhelm to present.

23 MS. WILHELM: Good afternoon. I'm Susan Wilhelm,
24 Supervisor of the Sustainability and Health Unit within the
25 Energy Research and Development Division. And today I'm

1 here to request your approval of an EPIC follow-on funding
2 agreement for Cal-Adapt Analytics Engine.

3 Next slide, please.

4 The proposed agreement builds on prior EPIC-
5 funded success to continue expanding the Cal-Adapt brand in
6 some powerful ways that respond to electricity stakeholder
7 concerns. The overarching goal of the Analytics Engine is
8 to deliver next-generation climate data analytics to
9 support our clean energy transition in a manner that is
10 reliable, resilient, cost-effective, and equitable.

11 The Cal-Adapt Analytics Engine benefits
12 Californians in two critical ways, first, by providing
13 direct support for electricity sector adaptation. This
14 involves partnering with our investor-owned utilities to
15 support their vulnerability assessments and adaptation
16 planning. It also involves supporting development and
17 implementation of policy, such as the California Public
18 Utility Commission's adaptation rulemaking.

19 The second main benefit is that the Analytics
20 Engine directly supports state agency teams and other EPIC
21 recipients who are working to refine critical planning
22 processes, such as the Energy Commission's California
23 Energy Demand Forecast and CPUC's Integrated Resource
24 Planning. And I'll just point it out on the right-hand
25 side here, you're looking at the landing page for the

1 Analytics Engine.

2 Next slide, please.

3 There are three key objectives to this agreement.

4 First, it brings scientific guidance, as well as
5 digital innovation, to inform rigorous electricity sector
6 applications of climate data. This guidance and innovation
7 is critical because our pool of data has expanded by about
8 a hundredfold in recent years. This proliferation of data
9 reflects our response to electricity IOU and agency needs,
10 which include WECC-wide perspective and very fine spatial
11 and temporal granularity.

12 Secondly, this agreement will support an
13 expansion of the power and accessibility of the data
14 platform in a manner that is in keeping with open data,
15 transparency, and best science practices.

16 And finally, this agreement allows the recipient
17 to build on prior success and accelerate the delivery of
18 data products to key energy sector stakeholders.

19 I'd like to point out that the recipient is a
20 California-based microbusiness that has partnered with a
21 national lab that is leveraging generous match contributions
22 from Amazon Web Services Open Data Sponsorship Program, and
23 that is also leveraging the products of several digital
24 technology innovators.

25 Next slide, please.

1 So a moment ago, I mentioned that the size of
2 data made available by the Analytics Engine has expanded
3 more than a hundredfold from what was available to
4 California's electricity stakeholders just a few years ago.
5 These data are primarily of two types.

6 On the left-hand side, you see climate
7 projections, which begin with state-of-the-art global
8 climate model outputs and downscale them for improved
9 resolution over the California domain. The Analytics
10 Engine is hosting projections that are developed by other
11 EPIC recipients at Scripps Institution of Oceanography, as
12 well as at UCLA, and these projections are helping us
13 understand what future climate may look like in ways that
14 are fundamental to planning our rapidly evolving
15 electricity system.

16 The other type of data we have represented on the
17 right hand side is a stream of quality controlled
18 historical observations at meteorological stations which is
19 critical to help us inform and calibrate our use of
20 projected climate data.

21 Next slide, please.

22 I'd like to point out that the Analytics Engine
23 has picked up from what earlier versions of Cal-Adapt did.
24 With the first version of the Cal-Adapt web application
25 released in 2011, we took the unprecedented step of making

1 high-quality data available so that users could explore
2 local climate impacts through interactive visualizations
3 and download data for further analysis. But the middle dot
4 is where we are now, and we have achieved this with prior
5 EPIC funding through which the Analytics Engine has
6 supported integration of projected climate data into
7 prevailing policy and planning frameworks as we seek to
8 rise to the challenges posed by climate change.

9 Moving forward, we look forward to continuing to
10 advance California's ability to anticipate and address
11 climate challenges to our decarbonizing energy system with
12 data products that co-evolve alongside new or revamped
13 frameworks for planning, modeling, and risk management.

14 Next slide, please.

15 In closing, I would like to thank you for your
16 time. Staff recommends that Commissioners adopt staff's
17 determination that the item is exempt from CEQA and approve
18 the recommended agreement with Eagle Rock Analytics, Inc.

19 Thank you.

20 CHAIR HOCHSCHILD: Thank you, Susan.

21 We'll go to public comment.

22 MS. BADIE: Now is the time for public comment on
23 item 13.

24 If you're joining us in the room, please use the
25 QR code or raise your hand. And if you're joining us on

1 Zoom, please use raise-hand feature on your phone. And if
2 you're joining us by -- excuse me, use the raise-hand
3 feature on your screen. And if you're joining by phone,
4 press star nine to let us know you'd like to make a
5 comment.

6 And I'm not seeing any hands for this item, so
7 back to you, Chair.

8 CHAIR HOCHSCHILD: All right. Well, you made a
9 great case, Susan. I don't have much to add, fully support
10 and happy to move it.

11 Is there a motion from Commissioner Gallardo?

12 COMMISSIONER GALLARDO: I move to approve item
13 number 13.

14 CHAIR HOCHSCHILD: Can I have a second from
15 Commissioner Monahan?

16 COMMISSIONER MONAHAN: I second.

17 CHAIR HOCHSCHILD: All in favor say aye.
18 Commissioner Gallardo?

19 COMMISSIONER GALLARDO: Aye.

20 CHAIR HOCHSCHILD: Commissioner Monahan?

21 COMMISSIONER MONAHAN: Aye.

22 CHAIR HOCHSCHILD: And I vote aye as well. Item
23 13 passes three to zero.

24 Thank you, Susan. Keep up the good work.

25 And I think we are now at our last item. Correct

1 me if I'm wrong, Mona, item 14, which is --

2 MS. BADIE: Last voting item, yes.

3 CHAIR HOCHSCHILD: Last voting item. We have
4 more non-voting? Okay. The Next EPIC Challenge:
5 Reimagining Affordable Mixed-Use Development in a Carbon-
6 Constrained Future.

7 MR. TAN: Good afternoon, Chair and
8 Commissioners. My name is Jemar Roble-Tan. I'm an Energy
9 Analyst with the Energy Research and Development Division.
10 I'm here today to request approval for two awards totaling
11 \$17 million. These would be the first two of four build
12 phase awards associated with The Next EPIC Challenge
13 solicitation to be presented for approval.

14 Next slide, please.

15 Grant funding would benefit Californians through
16 the construction of affordable, replicable, zero-emission
17 multi-tenant mixed-use developments. These developments
18 each showcase a suite of clean energy technologies, which
19 includes load management equipment and onsite generation
20 for energy resilience. These proof-of-concept developments
21 would thereby lower electricity costs and increase the
22 value proposition of many grid interactive technologies,
23 ultimately demonstrating feasible and economical pathways
24 to building even more mixed-use developments of their kind
25 in California.

1 Next slide.

2 California citizens continue to face the
3 significant challenges of climate change and housing
4 affordability, which zero-emission developments that
5 integrate with clean energy technologies can help counter.
6 For example, the developments presented for awards today
7 would provide energy efficient thermal controls and ensure
8 uninterrupted power during grid outages and extreme weather
9 events.

10 Also, these high-density multi-tenant mixed-use
11 developments bring residential and commercial uses close
12 together. This efficiently increases housing supply and
13 job growth, which is especially impactful when built in or
14 near disadvantaged and low-income communities.

15 Next slide.

16 In recognition of the difficulties associated
17 with designing zero-emission buildings using current
18 commercial technologies and standard building design and
19 construction practices, our solicitation, The Next EPIC
20 Challenge, was established to support multidisciplinary
21 teams in designing and building zero-emission mixed-use
22 developments that align with the item shown here.

23 Project teams were to adopt cutting-edge clean
24 energy technologies into their designs, use innovative
25 tools to plan, design, and ultimately construct these

1 buildings, ensure there would be a mix of market rate and
2 affordable housing locally so new developments would not
3 gentrify existing neighborhoods and displaced residents,
4 and ensure the developments would be resistant to the
5 impacts of climate change and extreme weather, including
6 the potential for extended power outages.

7 Next slide.

8 For this solicitation, we also established
9 minimum siting and design requirements to ensure that
10 applicants would provide project proposals that met our
11 objectives. For the siting requirements, the developments
12 are to be mixed-use, that is they are to provide units and
13 space for two or more significant revenue-producing uses,
14 such as for retail, office, civic, cultural, or
15 recreational uses. A substantial portion of the
16 development is to be reserved for affordable and low-income
17 housing, as shown here.

18 And lastly, there is a minimum unit density
19 requirement of 30 residential units per acre.

20 Next slide.

21 For the design requirements, buildings are to
22 have all-electric end uses with no gas connections, be able
23 to prioritize different loads, and power critical loads
24 indefinitely with available on-site resources. The
25 buildings are to have the ability to island from the grid

1 and meet the residential load during peak hours entirely
2 through onsite generation, storage, and load management
3 resources.

4 The distributed energy resources, or DERs, must
5 have the ability to integrate with aggregation platforms,
6 such as virtual power plants. And at least 20 percent of
7 all parking spaces must have EV charging stations that can
8 respond to grid and building signals with the remaining
9 wired to be EV ready.

10 Next slide.

11 The Next EPIC Challenge competition was conducted
12 using a two-phase approach. During the design phase, three
13 project teams from each of the regions across California,
14 shown here, developed designs for mixed-use developments in
15 line with the aforementioned requirements. One project
16 team from each region was then competitively selected to
17 build out their design, resulting in a total of four build-
18 phase projects. Two of the four projects will be presented
19 at future business meetings. A summary of the two projects
20 under consideration for awards today will now be presented.

21 Next slide.

22 The first agreement is with Mutual Housing
23 California to fund the construction of a new, all-electric,
24 permanently affordable senior housing center in the
25 historically underserved low-income community of South

1 Stockton. This four-story development will include 76
2 affordable residential units deed-restricted to low or very
3 low income households, a community resiliency center that
4 can provide shelter and power during grid outages that may
5 occur during events such as severe storms and heat waves,
6 and office space for the nonprofit community organization,
7 STAND.

8 STAND is Stocktonians Taking Action to Neutralize
9 Drugs, a grassroots organization dedicated to eliminating
10 drug abuse in Stockton through outreach efforts and
11 community program referrals. STAND also conducts food
12 distribution events, host youth activities, and holds
13 fundraisers for community betterment. STAND also improves
14 neighborhoods of marginalized communities to make them
15 safer and more desirable places to live through their
16 Affordable Housing Program wherein they buy blighted
17 houses, fully rehabilitate them, and sell them to moderate
18 and low-income families.

19 The new development presented here will use
20 Ephoca heat pumps, Icarus Quartet enhanced domestic water
21 heaters, and refrigerators that all use refrigerants with
22 low global warming potential.

23 The development will also incorporate technology
24 and features, such as a microgrid with a 300-kilowatt solar
25 PV system with pre-mounted inverters and a 600-kilowatt-

1 hour battery, dynamic window sheeting technology using
2 thermal bimetals, all-electric appliances, vampire
3 switches, and an automated building energy management
4 system that balances energy consumption against energy
5 pricing while considering occupant comfort. The energy
6 assets and virtual net metering reduce tenant electricity
7 bills by 85 percent compared to what would be incurred in a
8 baseline Title 24 compliant building.

9 Next slide.

10 The second agreement is with the Electric Power
11 Research Institute to fund the construction of a new
12 multifamily community resiliency hub in Petaluma with 131
13 housing units, commercial use spaces, and on-site
14 supportive services for residents. The development will
15 also provide on-site charging outlets and a dedicated area
16 for food truck operators. The project site is adjacent to
17 a new train and electric bus terminal for additional clean
18 transit options to and from the property.

19 By having a selective interconnection service
20 agreement with PG&E, where an energy is not normally
21 imported from the grid, this project will demonstrate how
22 the construction of all-electric communities' integrated
23 DERs can be accomplished while minimizing the need for
24 considerable grid upgrades. Once completed, this proof-of-
25 concept development can help quicken the electrification of

1 buildings and the transportation sector and make progress
2 toward meeting California's climate goals.

3 The development presented here features a 120-
4 kilowatt solar PV array and 2 megawatt hours of battery
5 storage in a microgrid setup with enough capacity to power
6 the community 95 percent of the year, with a minimal
7 standby connection with the utility for emergencies. The
8 development will incorporate Ephoca packaged terminal heat
9 pumps, Rheem 120 volt heat pump water heaters and mass
10 timber carpports. The development will also include
11 advanced technologies such as bidirectional EV charging
12 from the microgrid and load flexibility and forecasting
13 applications for effective load shedding and peak demand
14 reduction.

15 The project team aims to reduce tenants' energy
16 burdens by including all costs in the subsidized rent,
17 ensuring tenants never spend more than 30 percent of their
18 monthly income on utilities and rent.

19 The project team will continue to work with the
20 Rahu Institute, a local community-based organization, to
21 provide community education and in-person forums that will
22 inform tenants and the local community about their personal
23 energy use and total energy burdens, as well as clean
24 energy technologies and other innovations incorporated in
25 this development.

1 The project team will also conduct tenant surveys
2 to obtain feedback to improve the community experience and
3 energy management practices over time.

4 Next slide.

5 With that, staff recommends approval of these
6 grant agreements and staff's findings that these projects
7 are exempt from CEQA.

8 This concludes our presentation. Staff and
9 representatives from Mutual Housing California and the
10 Electric Power Research Institute are available for any
11 questions you may have. And a representative from the
12 Mutual Housing California project team should also be on
13 the line to provide comment.

14 Thank you.

15 CHAIR HOCHSCHILD: Thank you.

16 With that, we'll go to public comment on item 14.

17 MS. BADIE: Thank you.

18 If you'd like to comment on item 14 and you're in
19 the room with us, please use the QR code or wave your hand.
20 And if you are on Zoom, please use the raise-hand feature.
21 And if you're joining us by phone, press star nine.

22 Danny Kolosta, I'm going to open your line If you
23 could please spell your name for the record? We're asking
24 for comments to be two minutes or less.

25 MR. KOLOSTA: Good afternoon. Hello,

1 Commissioners. My name is Danny Kolosta. That's
2 D-A-N-N-Y K-O-L-O-S-T-A. I'm a project manager with Mutual
3 Housing California, and I've been part of the Fairview
4 Terrace team now for over two years.

5 And I just wanted to say, on behalf the Mutual
6 Housing California, the recipient, and Architectural Nexus,
7 we're extremely excited that the Mutual Housing at Fairview
8 Terrace Project has been selected for build phase funding
9 for the EPIC Challenge.

10 This is an endeavor that began more than five
11 years ago when we were approached with the opportunity by
12 ArchNexus at the program's inception to design the most
13 innovative affordable multifamily housing development in
14 the state of California. And that really isn't meant to be
15 a hyperbole, that's really how we feel, and the EPIC
16 Challenge has allowed us the opportunity to do just that.
17 It's very rare to pair energy innovation through emerging
18 microgrids, solar and battery technology with deeply
19 affordable mission-driven housing and have this endeavor be
20 invested in by the state, so we're very appreciative of
21 that.

22 Even more important is that this partnership will
23 serve the residents of South Stockton, an under-invested
24 area with low financial resources, with a desperate need
25 for quality affordable housing for seniors. Fairview

1 Terrace will ensure that residents and community members
2 benefit from this innovation, first and foremost, through
3 lowering of their energy costs, the provision of cooling
4 during extreme heat events, and education of their
5 community, which really dovetails with Mutual's core
6 mission of resident empowerment.

7 So we know this will really move the needle in
8 expanding perceptions of affordable housing as both
9 catalysts for economic empowerment and innovation as
10 Fairview Terrace will be the first of many projects that
11 push the envelope in creating positive net-energy housing
12 and cultivating community within the state.

13 So just wanted to say thank you again and we
14 really appreciate this opportunity and look forward to
15 working with the Energy Commission further with this build
16 phase grant funding.

17 MS. BADIE: Thank you.

18 Next, we'll hear from Stephen Rosenblum.

19 Stephen, I'm going to open your line. If you
20 could please spell your name for the record? We're asking
21 for comments to be two minutes or less.

22 MR. ROSENBLUM: Yeah. Hello again. My name is
23 Stephen Rosenblum, S-T-E-B-H-E-N R-O-S-E-N-B-L-U-M.

24 This is a really fantastic project. I'm so happy
25 to see it. It not only does a great job of dealing with

1 the issues of climate change, but also helps our grid
2 become more adaptable, and at the same time, providing
3 housing to redress the effects of climate change on
4 communities that have been overburdened by climate impacts.

5 So I just think this is outstanding. It's not
6 only great climate engineering, but great social
7 engineering, and I applaud the Energy Commission for taking
8 this on.

9 Thank you.

10 MS. BADIE: Thank you.

11 And there are no more commenters for this item,
12 so back to you, Chair.

13 CHAIR HOCHSCHILD: All right. Well, I'm thrilled
14 to see these grants. And again, I want to just lift up our
15 collaboration, especially with Electric Power Research
16 Institute, who we worked with to co-host the first ever
17 Build the Electrification Summit this past October, led by
18 Commissioner McAllister. And that was a huge success and I
19 think a lot of good things came out of that, including this
20 new heat pump partnership we're now funding to the tune of
21 \$9 million to promote the adoption of heat pumps.

22 But, really, all these look terrific. I
23 congratulate you and the rest of the team and happy to see
24 these move forward.

25 Unless there's other questions or comments?

1 Yeah, Commissioner Gallardo?

2 COMMISSIONER GALLARDO: Jamar, you did an
3 excellent job presenting.

4 And I also wanted to uplift my Chief of Staff,
5 Erik Stokes, who also played a role in this program.

6 I'm really excited about this. I think it's a
7 fantastic idea. And aside from the benefits that you all
8 talked about, I also think, you know, it just enables
9 people to be in a comfortable home, a modern home, and
10 gives them an additional sense of dignity to and hopefully
11 pride to be living in a space like this, so I love that.

12 And I also wanted to mention that I heard there
13 were some videos of the projects or something like that,
14 that maybe we could play one or two as an example at a
15 future business meeting when it makes sense. So but I
16 heard there's a really good video out.

17 CHAIR HOCHSCHILD: Like a video tour of the all-
18 electric home, or what is it?

19 COMMISSIONER GALLARDO: Yeah.

20 Can you talk about that Jemar?

21 MR. TAN: The last closing, yeah, that I
22 prepared, a (phonetic) around a bunch of videos, five
23 minutes each. They're actually available on YouTube right
24 here, and so I could direct that link to you so you can see
25 it's the overview --

1 CHAIR HOCHSCHILD: Okay.

2 MR. TAN: -- of the highlights.

3 CHAIR HOCHSCHILD: Maybe send them to
4 Commissioner Gallardo and you decide which ones you'd like
5 us to see.

6 COMMISSIONER GALLARDO: Okay.

7 CHAIR HOCHSCHILD: Yeah. I would just would draw
8 the link -- I'm sorry, were you finished? Yeah.

9 I just would draw the link back to the
10 presentation we had earlier today from Stanford about the
11 health impacts of gas cooking. And, you know, an all-
12 electric home is also a healthier home, and especially for
13 young people, so we have to keep that front of mind with
14 all these decisions. So thank you for that.

15 Yeah, Commissioner Monahan?

16 COMMISSIONER MONAHAN: Well, just we're all going
17 to be singing your praises, Jemar, and the praises of this
18 project because, I mean, California is in a housing crisis.
19 And we know that the lowest-income people are most
20 vulnerable to being pushed out of their housing. And so to
21 combine the benefits of clean energy with providing housing
22 to people who need it at an affordable price, I just feel
23 like this is -- this is like a perfect example, again, of
24 the kinds of investments we want to make where when we talk
25 about non-energy benefits, right, housing for your children

1 and having clean air in your home, I mean, there's just
2 like a powerful project.

3 And so I just want to thank you and the team for
4 working on it and making this come to fruition.

5 CHAIR HOCHSCHILD: Great.

6 All right, well, with that, I welcome the motion
7 from Commissioner Monahan on item 14.

8 COMMISSIONER MONAHAN: I move to approve item 14.

9 CHAIR HOCHSCHILD: Is there a second from
10 Commissioner Gallardo?

11 COMMISSIONER GALLARDO: I second.

12 CHAIR HOCHSCHILD: All in favor say aye.

13 Commissioner Monahan?

14 COMMISSIONER MONAHAN: Aye.

15 CHAIR HOCHSCHILD: Commissioner Gallardo?

16 COMMISSIONER GALLARDO: Aye.

17 CHAIR HOCHSCHILD: And I vote aye as well. That
18 item passes three to zero.

19 And as we're going to skip item 17, I think we
20 are adjourned. Did I miss anything? All right.

21 Thank you, everybody. Long meeting. Thanks,
22 guys.

23 (The meeting adjourned at 4:13 p.m.)

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of March, 2024.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

March 19, 2024