

**DOCKETED**

<b>Docket Number:</b>	24-BSTD-01
<b>Project Title:</b>	2025 Energy Code Rulemaking
<b>TN #:</b>	256839
<b>Document Title:</b>	Transcript for April 18, 2024, Lead Commissioner Hearing on 2025 Building Energy Efficiency Standards
<b>Description:</b>	This is the transcript for day 3 of 3 of the Lead Commissioner Hearings on the 2025 Building Energy Efficiency Standards.
<b>Filer:</b>	Javier Perez
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	6/13/2024 10:59:22 AM
<b>Docketed Date:</b>	6/13/2024

CALIFORNIA ENERGY COMMISSION

In the matter of:

	)		
Lead Commissioner Hearings	)		
for the 2025 Building Energy	)	Docket No.	24-BTSD-01
Efficiency Standards	)		
_____	)		

CEC LEAD COMMISSIONER HEARINGS ON  
 2025 BUILDING ENERGY EFFICIENCY STANDARDS

CITY OF SACRAMENTO  
 MEDIA PRESS ROOM 2-201  
 715 P STREET  
 SACRAMENTO, CA 95814

IN-PERSON AND VIA VIDEO AND TELECONFERENCE

VOL. 3

THURSDAY, APRIL 18, 2024

9:00 A.M.

Reported by:

Shane Stranahan

APPEARANCESLEAD COMMISSIONER

J. Andrew McAllister

PRESENTERS

Payam Bozorgchami, Technical Lead, Building Standards Branch

Javier Perez, Project Manager, Building Standards Branch

Stephen Becker, Mechanical Engineer, Standards Development Unit

Danny Tam, Associate Mechanical Engineer, Building Standards Branch

Bach Tsan, HVAC Systems and Refrigeration, Building Standards Branch

Haile Bucaneg, Lead on Covered Processes, Building Standards Branch

Anushka Raut, Air Pollution Specialist, Standards Development Unit

CEC STAFF

Michael Shewmaker, Supervisor, Standards Development Unit

Marian Goebes, Multifamily IAQ Case Report Lead, Codes and Standards Enhancement Team

Muhammad Saeed, Senior Electrical Engineer, Building Standards Branch

Charles Opferman, Supervisor, Compliance & Enforcement Unit

APPEARANCESPUBLIC COMMENT

Shawn Mayer, Harris & Sloan

Brian Selby, Selby Energy Inc

Michelle Austin, Gabel Energy

Michael Little

Bob Raymer, California Building Industry Association

Chandra Apperson

Bronte Payne, SunPower

Meg Waltner, Natural Resources Defense Council

Luke Morton, California Association of Building Energy  
Consultants

Brad Heavner, California Solar and Storage Association

Jonny Kocher, Rocky Mountain Institute

Andy Schwartz, Tesla

Blake Herrschaft, Peninsula Clean Energy

Kurt Hurley, City of Berkeley

Marina Blanco, Gabel Energy

Karen Bragg, U.S. Green Building Council

Carol Roberts, g.r.e.g. Consulting

Hassan Fawaz, Green MEP

Gina Griffiths Roda, Gabel Energy

Anne Pernick, SAFE Cities, Stand.Earth

APPEARANCESPUBLIC COMMENT (cont'd.)

Nehemiah Stone, Stone Energy Associates

Ted Tiffany

Christopher Ruch, National Energy Management Institute

INDEX		<u>PAGE</u>
1.	General Structure of Workshop Payam Bozorgchami	7
2.	Rulemaking Introduction Javier Perez, Energy Assessments Division	11
3.	Introduction Commissioner McAllister	21
4.	Single-Family Residential Buildings, Mandatory Measures Stephen Becker	23
5.	Single-Family Residential Buildings, Prescriptive Measures Danny Tam	50
6.	Single-Family Residential Buildings, Additions and Alterations Bach Tsan	80
7.	Multifamily Buildings, Mandatory Measures Anushka Raut	96
8.	Multifamily Buildings, Prescriptive Measures Javier Perez	117
9.	Multifamily Buildings, Additions and Alterations Javier Perez	142

INDEX		<u>PAGE</u>
10. Closing Remarks		155
	Commissioner McAllister Payam Bozorgchami	
11. End		169



1 Don't worry about it. It opens automatically. They set  
2 that up at night. And if those are occupied, there's more  
3 restrooms downstairs by the cafeteria.

4 So with that, more housekeeping rules. Like I  
5 said, these hearings are being recorded, and transcripts  
6 from this hearing will be posted on the docket as soon as  
7 they become available. So to make things move easier, we  
8 will have staff do their presentation, and there will be  
9 opportunity at the end of each presentation for the public  
10 to ask questions.

11 For the folks here in the room, if you raise your  
12 hand, we have someone with a microphone walking around, and  
13 he will present that to you. And when he does so, please  
14 state your name, your affiliation, and I'm going to ask if  
15 you could spell your last name. I know this becomes  
16 tedious if the same person does it every time, but  
17 unfortunately, we need that for reporting.

18 For the folks on Zoom, please click the raised  
19 hand button and I will unmute you. And when I do that,  
20 please state your name and affiliation, and, again, spell  
21 your last name. And the folks on the phone, if you hit  
22 star nine, I can recognize it, and that will unmute you,  
23 and we'll go from there.

24 There is also a Q&A button if you would like to  
25 type in your questions. We have Michael Shewmaker here in

1 the -- our staff member who will read those out loud for  
2 the public records. And we'll try to answer as best we  
3 can.

4 For today's agendas, we will have myself, as I'm  
5 doing the general structure of the hearing. Then  
6 Commissioner McAllister will give a few words at the  
7 beginning. He may be running a little late today again.  
8 He's on a conference call. So we will have Javier Perez do  
9 the development procedures for the 2025, then we'll revert  
10 back to Commissioner McAllister when he does show up.

11 Then we'll go to Steven Becker. He's our  
12 Mechanical Engineer with the Building Standards Branch. He  
13 will talk about or present on the single-family mandatory  
14 measures. Then Danny Tam, our other Mechanical Engineer  
15 within the Building Standards Branch, he will present on  
16 the prescriptive measures for residential -- excuse me, I  
17 said residential, but single-family residential buildings.

18 Depending on how fast we move and the number of  
19 comments, the presence we get, we'll probably take a break  
20 about 10:50ish or so. If not, if we're ahead of schedule,  
21 Bach Tsan will present on the single-family residential  
22 buildings additions and alterations.

23 Like I said, these schedules, as you see, are  
24 tentative. They do fluctuate, as some of us don't want to  
25 be around here until seven o'clock at night, so we would

1 like to, if possible, move things along. At noonish, we'll  
2 take about an hour lunch break, or forty-five minutes,  
3 depending on the schedule. But if we're moving a little  
4 bit faster, we may have Anushka Raut, our Air Pollution  
5 Specialist, present on the multifamily mandatory measures,  
6 and then we've got Javier Perez, who is our Project Manager  
7 for the 2025 Standards. He will present on the multifamily  
8 buildings, and prescriptive and additional alterations.

9 That break in the afternoon may fluctuate. So we  
10 have him here as a tentative, and Commissioner McAllister  
11 will open it up for other comments on the 2025, and I will  
12 conclude the workshop afterwards.

13 The workshop today is on the 2025. There's a lot  
14 of folks that have ideas and proposals that may come, and  
15 it may be a little late for this Code cycle. So someone  
16 said that this train may have left the station, but there's  
17 another train coming right behind it, and that's the 2028  
18 Measures. And the 2028 Measures ideas, please, there is a  
19 link at the lower left of the screen. If you have any  
20 ideas or suggestions, we're more than happy to take those.  
21 We will evaluate those with our assistance from the IOU  
22 team, and those will happen right after the adoption of the  
23 '25.

24 Comments from today's workshops can be submitted  
25 by May 13th. Today's workshop, yesterday's, and Tuesday's

1 workshop can be submitted by May 13th by 5pm. and I put  
2 the docket link right there, right after the comments too,  
3 24-BSTD-01. It's really simple. Just get in, put your  
4 contact information, and follow the instructions. It's  
5 really easy to do.

6 Please, when you do this, provide your contact  
7 information, your email, your phone number. Somehow the  
8 staff can get ahold of you if we have further questions so  
9 we would like to have further dialogue with you. If you  
10 have a little bit of difficulty with doing so, I put the  
11 link to our Public Advisor, Mona Badie. She is more than  
12 happy to help you with maneuvering through the Energy  
13 Commission website, or other topics that maybe does not  
14 relate to Building Energy Efficiency Standards. But she's  
15 more than happy to assist you and provide you guidance.

16 That was it. That's all I have. Unfortunately,  
17 Commissioner McAllister is not in the office -- I said  
18 office, excuse me -- in the room right now. So we're going  
19 to go right to Javier Perez and he will do his  
20 presentation.

21 Thank you.

22 MR. PEREZ: Thanks, Payam.

23 So hi. My name is Javier Perez. I'm the Project  
24 Manager for the 2025 Energy Code, and if you participated  
25 in the first or second hearings of today's -- of this

1 three-day hearing session, you'll hear a lot of repeats,  
2 and very much apologize for the repetition. I hope you can  
3 understand.

4           So today we'll briefly go over the authority and  
5 process, some of the drivers behind the 2025 Standards, the  
6 underlying metrics of our Code, and finally a timeline  
7 update for the 2025 Cycle. I do want to take a second to  
8 thank you all for taking time to participate in this  
9 meeting, and hope that through your participation and  
10 collaboration, that we can make great strides with energy  
11 efficiency and our long-term state goals with the 2025  
12 Standards update.

13           Next slide.

14           Alright. So let's start with the Energy  
15 Commission's authority and process. This slide's a little  
16 bit loaded, so I'm going to bring it up in segments to  
17 hopefully train your eyes to see what I'm speaking to.

18           So two California Assemblymen, Charles Warren and  
19 Al Alquist, coauthored the Warren-Alquist Act, and this act  
20 authorizes the Energy Commission to develop and update  
21 standards on a triennial basis and for local jurisdictions  
22 to enforce these standards through the building permit  
23 process. The standards were developed at the direction of  
24 the Warren Outpost Act to reduce the wasteful, uneconomic,  
25 inefficient, or unnecessary consumption of energy.

1           One more click.

2           Now on the right, you're now seeing a chart that  
3 compares the site energy consumption of a single-family  
4 residential building when built to the 2021 International  
5 Energy Conservation Code in blue, and the same building  
6 built to California's 2022 Energy Code requirements in  
7 green. Now, if you only take away a few points from this  
8 graph, they should be that averaging across all Climate  
9 Zones, single-family buildings built to California's Energy  
10 Code use an estimated 52 percent less site energy than  
11 those built to the 2021 International Energy Conservation  
12 Code, or the IECC. And while our buildings are becoming  
13 increasingly more efficient over time and outpacing  
14 national standards, our buildings' natural gas consumption,  
15 the light green segments of these bars, are a large portion  
16 of our buildings' overall energy consumption.

17           Now, our state has lofty greenhouse gas emission  
18 reduction goals. Reducing emissions from buildings will be  
19 one of the many keys to meeting those goals. Our state  
20 also has requirements for electricity retail sales over the  
21 next couple decades. It'll make electricity significantly  
22 cleaner over time.

23           One more click on.

24           Now, if you'd like to learn more about our 2022  
25 Energy Code and how it compares to the federal standards,

1 our 2022 Impact Analysis Report can be found at the link on  
2 the screen.

3 Now let's talk about some of those state-level  
4 drivers and some of the themes of the 2025 Energy Code.  
5 We're obligated to contribute to the State's greenhouse gas  
6 reduction goals, and one of those being Governor Brown's  
7 Carbon Neutral Executive Order to Achieve Carbon Neutrality  
8 by 2045. Another driver is Senate Bill 100, or the 100  
9 Percent Clean Energy Act 2018, which states that by 2045,  
10 100 percent of electricity retail sales must come from  
11 clean energy sources. Now, this will make electricity  
12 significantly cleaner over time, and will also have a  
13 substantially positive effect on State's greenhouse gas  
14 reduction goals. The Energy Code is tasked with  
15 contributing to these goals, and must do so by increasing  
16 built-in energy efficiency requirements, all while proving  
17 the standards to be cost-effective and technically  
18 feasible.

19 Now, what are some of the strategies employed  
20 with the 2025 update to contribute to these state goals?  
21 Building on the efforts of the 2022 Code cycle, we've  
22 continued to explore where highly efficient heat pumps can  
23 be introduced as the prescriptive baseline for space and  
24 water-heating systems. You'll hear about the residential  
25 heat pump proposals today.

1           In 2019, in the 2019 cycle, we introduced the  
2 solar photovoltaic system requirements for low-rise  
3 residential buildings, and in 2022, we introduced similar  
4 requirements for some nonresidential, high-rise  
5 residential, and hotel/motel buildings. And in 2025, we'll  
6 look to expand these requirements to ensure that -- I'm  
7 sorry. We'll look to expand these requirements and to  
8 update to ensure that we're in step with the ever-evolving  
9 landscape of photovoltaic and energy storage systems.

10           Now, for the purposes of the Energy Code, a  
11 process is an activity or treatment that's not related to  
12 human occupancy, and a covered process is just one of those  
13 processes that we have requirements for. Processes can  
14 consume large amounts of energy, and as with all items  
15 identified on this list, we looked at systems -- at these  
16 systems to find efficiencies where possible.

17           And we want to ensure that our Standards continue  
18 to serve as a protection for affordable housing, as when  
19 our Standards increase energy efficiency, they raise the  
20 bar for newly constructed buildings, and in doing so, they  
21 bring affordable housing construction along with them. We  
22 looked at affordable housing programs, and the compliance  
23 tools that they use, and streamlined some of those efforts  
24 to make it easier for the designers of those buildings to  
25 demonstrate compliance with our Code, and demonstrate

1 compliance with the requirements of affordable housing  
2 programs.

3           As with all cycles, existing buildings continue  
4 to be a focus of the Energy Code, and this cycle we took a  
5 stronger look at smaller homes, or ADUs, and how our  
6 requirements fit for those smaller dwellings. And we  
7 continue to collaborate with the Air Resources Board,  
8 Department of Housing and Community Developments, and the  
9 Building Standards Commission to ensure that our buildings  
10 continue to meet acceptable levels of indoor air quality,  
11 and to support their efforts in CALGreen, or Part 11 of  
12 Title 24, as they relate to embodied carbon and electric  
13 vehicle charging.

14           And finally, one thing that's not on this list is  
15 just our never-ending intent to make the Code easier to  
16 understand, to make compliance with our Code simpler, and  
17 to make enforcement of the requirements of our Code easier.  
18 And, you know, we're trying to get this right. I think  
19 every Code cycle, we take another pen and try to get this  
20 more and more clear. We hope to get there, to perfection,  
21 one day. If we don't get there, it won't be for lack of  
22 effort.

23           Next slide.

24           Now let's go over the underlying energy metrics  
25 that help demonstrate energy savings. For the 2025 Energy

1 Code, we're pivoting from using the term Time Dependent  
2 Valuation energy, or TDV energy, to using Long-term System  
3 Costs. LSC is -- or Long-term System Cost is the cost-  
4 effectiveness and energy valuation methodology used in  
5 development and implementation of the Energy Code. LSC  
6 factors are used to convert predicted site energy use to  
7 long-term dollar cost to California's energy system. Now,  
8 the underlying varying valuation of energy, depending on  
9 the time of day, day of year, that was used for TDV has not  
10 changed, but we've converted those energy savings into  
11 Long-term System Cost savings to better reflect the actual  
12 cost of energy to consumers, the utility system, and to  
13 society. This graph represents an average day's dollars  
14 per megawatt hour, and how the cost varies between time of  
15 day, and the different inputs that go into that cost.

16 Next slide.

17 Now, the Source Energy metric was introduced  
18 during the 2022 Energy Code cycle, and is defined as the  
19 Source Energy of fossil fuels following the long-term  
20 effects of any associated changes in resource procurement.  
21 It focuses specifically on the amount of fossil fuels that  
22 are combusted in association with demand-side energy  
23 consumption. And to calculate the Source Energy for a  
24 given hour, the value in that hour for each forecasted year  
25 year's average to get a lifetime average Source Energy.

1           Next slide.

2           Because a building's energy use can vary  
3 depending on weather conditions which differ throughout the  
4 state, the Energy Commission has established 16 Climate  
5 Zones representing distinct climates within California.  
6 This is not new for this cycle, but hopefully it serves as  
7 a refresher if you're already up to speed on California's  
8 Energy Code. As a result of having 16 Climate Zones,  
9 requirements can vary significantly from zone to zone,  
10 since when energy savings vary, measures are found to be  
11 more or less cost-effective.

12           Next slide.

13           Okay. Now let's go over how far we've come in  
14 this Code cycle. From June of 2021 to July of 2023, the  
15 Code and Standards Enhancement Team, or the CASE team, took  
16 in measure proposal ideas, 19 different public workshops,  
17 and finalized reports for their proposals. From March to  
18 November of 2022, the Energy Commission updated weather  
19 data, and LSC and Source Energy metrics, and from March of  
20 '23 to September of '23, the CEC held pre-rulemaking  
21 workshops on proposals for the 2025 Energy Code,  
22 culminating with the publication of Draft Express Terms in  
23 November of 2023. Now, in March of this year -- March 29th  
24 -- we opened our formal rulemaking and released 45-day  
25 changes to the 2025 Standards.

1           Next slide.

2           Now, something that we feel is important to  
3 highlight is the amount of stakeholder input and engagement  
4 that went into these updates. Over 60 different  
5 stakeholder groups participated in every step of this  
6 cycle, from the measure intake ideas to vetting of  
7 proposals to providing feedback on Code language. These  
8 groups included everyone from energy consulting groups,  
9 multiple trade organizations, building industry leaders,  
10 and advocates, including environmental and even ADU  
11 advocates. This level of participation is crucial in the  
12 development of this Code, and we're very thankful for your  
13 continued engagement.

14           Next slide, please.

15           Now what's to come? We've opened our formal  
16 rulemaking 45-day comment period on March 29th, and this  
17 comment period runs through May 13th. And today is the  
18 last of our three Lead Commissioner hearings on the  
19 proposed 45-day language changes to the 2025 Standards. We  
20 plan to hold our 15-day comment period in June of this  
21 year, and expect to adopt the 2025 Energy Code at our  
22 August 14th Business Meeting.

23           The Building Standards Commission then will have  
24 their Commission meetings to approve updates to all parts  
25 of Title 24 in December of 2024. The effective date for

1 the 2025 Energy Code will be January 1, 2026.

2 For this Code cycle, this is a list of senior  
3 staff in the Building Standards Branch at the Energy  
4 Commission. Now, if you're as bad with names as I am,  
5 again, my name is Javier Perez. I'm the Project Manager  
6 for the 2025 Energy Code. Payam Bozorgchami is our  
7 Technical Lead, and he specializes in building envelope  
8 additions, and alterations to existing buildings and  
9 accessory dwelling units, or smaller dwelling units. And  
10 Haile Bucaneg is our cover processes, demand response  
11 controls, and our nonresidential and residential ACM  
12 methods work. Mohammad Saeed is our solar and PV and  
13 energy storage systems lead, and Bach Tsan is our lead on  
14 HVAC systems and refrigeration. And Michael Shewmaker is a  
15 Supervisor for the Standards Development Unit, and Gypsy  
16 Achong is the Building Standards Branch Manager. If you'd  
17 like to reach out, our email convention at the Energy  
18 Commission is first name dot last name at energy.ca.gov.

19 Now, our goal is to build consensus through these  
20 hearings and through this public process and your  
21 participation, again, your comments, all go a long way to  
22 help us with that goal. So thanks again for making time  
23 today.

24 And I see the Commissioner's in the room.  
25 Perhaps we want to hand it over to him to make his opening

1 remarks, and then we can go to Stephen for the next  
2 session.

3 Thank you.

4 COMMISSIONER MCALLISTER: Very well.

5 (Echo.)

6 Sorry. Sorry, I unmuted myself here.

7 Well, thanks everybody again for joining us on  
8 this third day. I want to just first start out by, you  
9 know, emphasizing the point that Javier just made about  
10 contacting staff. You know, we have -- it's impossible to  
11 overstate, really, the quality of staff we have at the  
12 Energy Commission working on these issues. There's an  
13 incredible team, and that is a sincere ask to join the  
14 conversation and to contact any and all of our staff with  
15 any issues you might have. You can be a hundred percent  
16 sure that we will all make a good faith effort to -- we  
17 certainly will listen, and make a good faith effort to  
18 forge that consensus that Javier was emphasizing just now.

19 I also wanted to just make one comment about sort  
20 of historical perspective here, and it won't be long. But  
21 I think those of you who've been involved in multiple Code  
22 cycles over the last couple decades will remember a time  
23 when the timeline was a little more flexible than it is  
24 now, let's say, and the updates didn't even happen every  
25 year. They were sort of on a more haphazard cycle.

1           And, together with the Building Standards  
2 Commission, we've really standardized the cycle to three  
3 years, and I think that has really sort of upped the level  
4 of rigor and predictability of the Code updates. And  
5 they've really -- that concerted effort to be more  
6 consistent, and be more responsive to statute, and also to  
7 be able to project that timeline to stakeholders in a  
8 predictable way, and stick to that timeline, has really  
9 upped the level -- upped the contribution of the building  
10 codes to our sort of coherent climate transition cycle, or,  
11 you know, policy regime. So I think just I wanted to  
12 recognize the fact that the Building Standards really have  
13 matured, and the team behind them is just at the highest  
14 level. And so just wanted to put a little bit of  
15 historical perspective on this.

16           This third day, I'm really looking forward to  
17 wrapping up the hearings and, you know, moving on to  
18 getting all your public comments, and working through those  
19 public comments in the 45-day language, making changes  
20 where warranted, and then 15-day language, and then  
21 adoption, and moving on to the rest of the cycle with the  
22 Building Standards Commission.

23           So after that, we'll -- you know, alongside that,  
24 a little bit delayed, we'll be doing Part 11. So that's  
25 for another day. But wanted to just, again, thank

1 everybody for contributing to this process. And looking  
2 forward to the conversation today. Some media issues on  
3 the table as well.

4 So back to you, team. Go ahead.

5 MR. BOZORGCHAMI: Thank you, Commissioner. Next  
6 we've got Stephen Baker, our Mechanical Engineer.

7 I'm sorry. I said Baker. Becker. I apologize.

8 MR. BECKER: Hi, everyone. My name is Stephen  
9 Becker, and I'm a Mechanical Engineer with the CEC's  
10 Standards Development Unit.

11 This morning I'm going to take you through the  
12 proposed changes related to Mandatory Requirements for  
13 Single-family Residential Buildings in Section 150.00.

14 Next slide, please.

15 Starting in Section 150.0(c), we are proposing to  
16 reduce the mandatory maximum wall insulation U-Factor  
17 requirements as follows. For two-by-four framing, the  
18 overall assembly shall not have a U-Factor exceeding 0.095,  
19 and for two-by-six or greater framing, the overall assembly  
20 shall not have a U-Factor exceeding 0.069.

21 Next slide, please.

22 Let's continue on to mandatory space conditioning  
23 equipment requirements in Section 150.0(h). In Section  
24 150.0(h)1, we are proposing adding an exception for  
25 additions only that allows for the use of block loads when

1 performing sizing calculations. Additionally, removing  
2 language related to system sizing and selection in Section  
3 150.0(h)5.

4 In Section 150.0(h)2, we have added several  
5 sources that can be used to select outdoor design  
6 conditions. The new sources include the ASHRAE Handbook,  
7 the SMACNA Residential Comfort System Installation  
8 Standards Manual, and ACCA Manual J. We are also proposing  
9 to change the language in this section to specify that  
10 outdoor design temperatures used for heating should not be  
11 lower than either the 99 percent Heating Dry Bulb value or  
12 the Heating Winter Median of Extremes value.

13 Next slide, please.

14 In Section 150.0(h)5, we are proposing new  
15 requirements for sizing and selection of mechanical space  
16 conditioning equipment. The section requires the systems  
17 be sized based on ACCA Manual S. This section also defines  
18 limits for space conditioning system capacity. There is no  
19 minimum capacity for cooling or maximum capacity for  
20 heating.

21 The limits for minimum capacity for heating  
22 depend on system type. For gas furnaces, the capacity  
23 needs to be sized based on ACCA Manual S, Table 2. And for  
24 heat pumps, the minimum heating capacity must meet the  
25 requirements of the CEC without accounting for supplemental

1 heating.

2 Next slide, please.

3 Before we move on to the next section, I wanted  
4 to correct an error in the 45-day Express Terms in Section  
5 150.0(h)5Biii. The added language incorrectly states that  
6 there is no minimum -- or there is no limit on the minimum  
7 heating capacity for heat pumps. In the 15-day Express  
8 Terms, this will be corrected as shown in the slide.

9 For clarity, I'll reiterate the correct minimum  
10 heating capacity requirements for heat pumps. For heat  
11 pump space heaters, the minimum heating capacity must meet  
12 the requirements of the CEC without accounting for  
13 supplemental heating.

14 Next slide, please.

15 In Section 150.0(h)6, we are proposing adding  
16 language that outlines requirements for heat pump space  
17 conditioners with defrost delay timers. The delay timers  
18 need to be set so that the delay is 90 minutes or longer.  
19 Installers would certify in the CF2R that they've tested  
20 the defrost delay control configuration using new testing  
21 procedures, defined in the CF2R. There are exceptions for  
22 dwelling units in Climate Zones 6 and 7, as well as  
23 dwelling units that have a conditioned floor area of 500  
24 square feet or less in Climate Zones 3, 5 through 10, and  
25 15.

1           Next slide, please.

2           The defrost requirements in Section 150.0(h)6  
3 would also apply to multifamily residential buildings and  
4 appear in Section 160.3(b)7. There are exceptions provided  
5 for multifamily residential dwelling units in Climate Zones  
6 1, 6 through 10, 15, and 16.

7           Next slide, please.

8           In Section 150.0(h)7, we are proposing new  
9 requirements for supplementary heat controls for heat pump  
10 space conditioners with supplemental heating. The added  
11 language requires that supplemental heat be locked out when  
12 the outdoor temperature -- when the outdoor air temperature  
13 is above 35 degrees Fahrenheit, unless it is being used for  
14 defrost emergency heat operation. Installers would certify  
15 in the CF2R they have tested the supplementary heat control  
16 configuration and using procedures defined in the CF2R.

17           Exceptions are provided for room air conditioner  
18 heat pumps, dwelling units in Climate Zones 7 and 15, and  
19 dwelling units with conditioned floor area of 500 square  
20 feet or less.

21           Next slide, please.

22           In Section 150.0(h)8, we are proposing new  
23 language that puts limits on the capacity of electric  
24 resistance supplementary heaters used with heat pump space  
25 conditioners. Electric resistance supplementary heat

1 capacity when measured in kilowatts shall not be larger  
2 than the heat pump nominal cooling capacity in tons,  
3 multiplied by 2.7 kilowatts per ton.

4 Next slide, please.

5 In Section 150.0(h)9, proposing new requirements  
6 that ensure multi-speed and variable speed space  
7 conditioning systems are fully compatible with third-party  
8 thermostats. The added language requires that multi-speed  
9 and variable speed systems be capable of responding to  
10 heating and cooling loads by modulating compressor speed  
11 when used with third-party thermostats. Installers would  
12 certify on the CF2R that they have tested the systems  
13 control configuration using testing procedures defined in  
14 the CF2R. Requirements are also applicable to multifamily  
15 residential dwelling units. The multifamily residential  
16 requirements can be found in Section 160.3(b)8.

17 Next slide, please.

18 Now we'll move on to Section 150.0(i), which  
19 focuses on mandatory thermostat requirements. We are  
20 proposing restructuring the language into two subsections.  
21 One subsection with the original language for setback  
22 thermostats, and a new subsection for thermostats that are  
23 applied to heat pumps with supplementary heating.

24 The new subsection contains the following  
25 requirements for thermostats that are applied to heat pumps

1 with supplemental heat. First, the thermostat needs to  
2 receive and display outdoor air temperature from a sensor  
3 or internet weather service. Next, the thermostat needs to  
4 follow requirements in Section 150.0(h)7 and lock out  
5 supplementary heat above an outdoor temperature of 35  
6 degrees Fahrenheit, unless it is being used for defrost or  
7 emergency operation. Finally, the thermostats must  
8 indicate when supplementary heat is being used for defrost  
9 or emergency operation. Installers again would certify in  
10 CF2R that they have tested thermostat control configuration  
11 using testing procedures defined in CF2R.

12           Next slide, please.

13           There are two exceptions for thermostat  
14 requirements. The first exception is provided for  
15 situations where supplementary heat is locked out above 35  
16 degrees by another device. The second exception is  
17 provided for room air conditioner heat pumps.

18           Next slide, please.

19           Let's continue on to the proposed changes to the  
20 mandatory residential lighting requirements, Section  
21 150.0(k), starting with the changes to the language for  
22 luminaire requirements. The luminaire efficacy  
23 requirements in Section 150.0(k)1A now apply to all lamps  
24 and light sources in addition to being to install  
25 luminaries. Next, Table 150.0-A and the subsection for

1 screw-based luminaries have been removed. The new language  
2 in Section 150.0(k)1A replaces both the table and the  
3 screw-based luminary subsection by referring directly to  
4 the joint appendix JA8 for compliance.

5 There have also been a few changes to Section  
6 150.0(k)1A's exceptions. Exception 1 has added ceiling fan  
7 kit to the list of integrated device lighting, and  
8 Exception 4 retains the default high-efficacy light sources  
9 by listing them as exceptions.

10 Moving on to the indoor lighting controls  
11 language, we propose combining subsections 150.0(k)2B and D  
12 because they cover similar subject matter. We have also  
13 added to the exceptions for dimming control requirements so  
14 they are more comprehensive and improve clarity. Other  
15 minor changes have been made to clean up the language and  
16 improve clarity through this section.

17 Next slide, please.

18 In Section 150.0(k)3, we are proposing changes to  
19 the residential outdoor lighting language that clarify the  
20 three options for meeting the residential outdoor lighting  
21 control requirements. The new language clarifies that an  
22 energy management control system and other controls can  
23 meet the outdoor lighting control requirements. These  
24 changes have also been made to multifamily residential  
25 requirements found in 160.5(a)3.

1           Next slide, please.

2           Next, I'd like to go over the proposed changes to  
3 JA8 and JA10.

4           Joint Appendix JA8 is used in conjunction with  
5 the residential lighting requirements and applies to  
6 residential luminaires, including recessed downlights and  
7 other LED light sources. We are proposing two essential  
8 updates to JA8. For the first update, we're proposing to  
9 remove the language relating to the performance criteria  
10 and test requirements for incandescent lamps and  
11 fluorescent lamps, as manufacturing and sale of these lamps  
12 is being phased out. For the second update, we are  
13 removing references to the ENERGY STAR test methods and  
14 replacing them with two added subsections covering the  
15 start time test and the noise test. This change is being  
16 made to reflect the sunset of the ENERGY STAR program for  
17 lamps and luminaires effective December 31st, 2024.

18           The changes to Joint Appendix JA10, which  
19 contains the measurement tests for JA8 lighting products,  
20 also reflects the removal of language related to  
21 fluorescent lamps and their test requirements.

22           Next slide, please.

23           Next, we'll move on to Section 150.0(m), which  
24 covers mandatory air distribution and ventilation systems.  
25 There have been changes to Exception 1 to Section

1 150.0(m)13C, which relates to the airflow rate and fan  
2 efficacy of space conditioning systems. The exception  
3 allows for space conditioning systems to demonstrate  
4 airflow and fan efficacy compliance by operating the system  
5 at maximum pressure capacity and max fan speed with all  
6 zones calling for conditioning. The changes to this  
7 exception result in the exception being only applicable to  
8 multi-speed and variable speed systems that incorporate  
9 controls to vary fan speed according to the number of zones  
10 calling. The exception is no longer applicable to single-  
11 speed compressor systems. The ability to vary fan speed  
12 according to the number of zones calling would be certified  
13 by the installer.

14           Next slide, please.

15           Now I'll cover changes to Section 150.0(o)1C,  
16 which deals with whole-dwelling unit mechanical ventilation  
17 for single-family detached homes and townhouses. We are  
18 proposing some new requirements for subsection  
19 150.0(o)1Civ, which details requirements for balanced and  
20 supply only ventilation systems. The first new requirement  
21 comes in subsection 150.0(o)1Civa, which covers indoor air  
22 quality filter and HRV and or ERV accessibility. We have  
23 added language for accessibility requirements for IAQ  
24 system components such as filters, and heat and/or energy  
25 recovery cores, for replacement and maintenance.

1 Additionally, we have added an exception to subsection  
2 150.0(o)1Civa to help specify requirements for systems that  
3 require servicing from the inside of an attic.

4 Next slide, please.

5 The second new requirement comes in subsection  
6 150.0(o)1Civb, which covers IAQ system component  
7 accessibility. We're adding language to include the other  
8 IAQ system components, including fans, motors, heat  
9 exchangers, and other serviceable components to be required  
10 to meet the applicable requirements of the California  
11 Mechanical Code Section 304.0. The third new requirement  
12 comes in subsection 150.0(o)1Civc, which covers outdoor air  
13 intake design. We've added language to ensure that outdoor  
14 air intake design meets the requirements of California  
15 Mechanical Code Section 402.4.1.

16 Next slide, please.

17 Lastly, in subsection 150.0(o)1Civd, which covers  
18 outdoor air intake location and accessibility, we added  
19 language for accessibility requirements for outdoor air  
20 intakes that specifies they can be located no more than 10  
21 feet above a walking surface for regular service. We also  
22 specified that if these units are located on roofs, they  
23 must meet the requirements of the California Mechanical  
24 Code Section 304.3.1. Additionally, we've added an  
25 exception to the subsection exempting outdoor air intakes

1 that serve equipment with a fault indicator display that  
2 meets the requirements of Joint Appendix JA17.

3 Next slide, please.

4 Alright. Moving on to subsection 150.0(o)1G,  
5 which covers local mechanical exhaust, we are proposing  
6 some changes to Table 150.0-E, which outlines requirements  
7 for demand control, local ventilation, exhaust air flow  
8 rates, and capture efficiency. We are removing the  
9 compliance criteria of a capacity of five air changes per  
10 hour for enclosed kitchens. Striking "or a capacity of 5  
11 ACH" from the table makes the compliance requirements the  
12 same for both enclosed and non-enclosed kitchens. So, for  
13 enclosed kitchens and non-enclosed kitchens, demand  
14 controlled local ventilation downdraft fans and other types  
15 of kitchen exhaust fans must meet the 300 CFM requirement.

16 Next slide, please.

17 Next, we'll go over proposed changes, Section  
18 150.0(p), which covers mandatory requirements for pool  
19 systems and equipment installation. The changes are mostly  
20 cleaning up of existing language. In Section 150.0(p)1A,  
21 we added references to dedicated purpose pool pumps and  
22 replacement dedicated-purpose pool pump motors. We have  
23 also updated the references to the applicable appliance  
24 standards. In Section 150.0(p)1D and 1E, outdated  
25 references were deleted and new references were added to

1 dedicated-purpose pool pumps and replacement dedicated-  
2 purpose motors.

3           Next slide, please.

4           Moving on to the proposed changes in Section  
5 150.0(q), which covers mandatory requirements for  
6 fenestration products, we are proposing to align the  
7 mandatory maximum U-Factor requirements for all  
8 fenestration products, including skylights. So, starting  
9 in 2026, all fenestration products, including skylights,  
10 separating conditioned space from unconditioned space or  
11 outdoor space, shall have a maximum weighted average U-  
12 Factor of 0.4.

13           Next slide, please.

14           Finally, we'll go on to cover the proposed  
15 updates --

16           UNIDENTIFIED SPEAKER: (Indiscernible.)

17           MR. BECKER: There we go. Alright. Thank you.

18           So finally, we'll go on to cover the proposed  
19 updates to Section 150.0(s) for Mandatory Battery Energy  
20 Storage System Ready Requirements. In response to  
21 stakeholder feedback received on the current 2022  
22 requirement, we are proposing to modify the language so  
23 that the battery-ready requirements won't apply if the Load  
24 Serving Entity is providing service of 125 amps or less.

25           And that concludes the CEC's proposed changes to

1 Mandatory Requirements for Single-family Residential  
2 Buildings in Section 150.0. So I think we're going to take  
3 questions now.

4 MR. BOZORGCHAMI: Thank you, Stephen.

5 I'm going to open it up for folks here in the  
6 building. And we're going to allow -- we're trying to make  
7 sure we flow this through properly. So we're going to  
8 allow two minutes per presenter. Or, excuse me, per  
9 commenter. Excuse me.

10 So with that -- and honestly, I don't do a good  
11 job with this, so we'll cut off.

12 So any raised hands here in the room?

13 Shawn?

14 MR. MAYER: Shawn Mayer, Harris & Sloan. Last  
15 name is M-A-Y-E-R.

16 Really two questions that are interconnected.  
17 Section 150.0(h)5 is now requiring heat pumps to meet  
18 capacity without supplemental heating. And my question is  
19 if the Commission has really dived into that to understand  
20 the impact on cooling capacity. Heat pumps, many heat  
21 pumps, are split systems that have similar heating and  
22 cooling capacities. When we push the heating capacity up,  
23 we're going to end up oversizing cooling capacity. And we  
24 believe that that leads us into direct conflict with the  
25 ENERGY STAR requirements, which is, while we're working on

1 ENERGY STAR requirements, have a limit to the oversizing of  
2 cooling of 130 to 140 percent. And with our review, we've  
3 seen that this is kicking us over that in many cases. So  
4 we'd like to recommend that we either add an exception or  
5 take this requirement out altogether.

6           There are already other requirements for  
7 supplementary heat. There's lockout requirements, and  
8 there's maximum sizing requirements. So we feel all of  
9 those are handling the sizing of supplementary heat much  
10 better than this requirement.

11           And then secondarily to that, the original draft  
12 language included requirements for mechanical loads to be  
13 provided to verify, presumably. That's been removed, so  
14 I'm just curious if the Commission is planning any type of  
15 verification that the equipment is sized correctly per the  
16 requirements.

17           MR. BECKER: Can I kick that one to you, Bob?

18           MR. TSAN: The first one is the need to  
19 accommodate for sizing.

20           This is Bach Tsan, last name is T-S-A-N, with the  
21 Energy Commission.

22           I just wanted to clarify the question, Mr.  
23 Mayer.

24           MR. MAYER: Yes. Yes. Did we account for the  
25 fact that minimum sizing for heating is going to produce

1 oversizing for cooling?

2 MR. TSAN: Let me -- I think we have to take that  
3 back --

4 MR. BOZORGCHAMI: So, Shawn, could you submit a  
5 comment to the docket please for us?

6 MR. MAYER: I will.

7 MR. BOZORGCHAMI: And we'll take a look into  
8 that.

9 Thank you.

10 MR. BECKER: Thank you.

11 MR. MAYER: Thank you.

12 MR. BOZORGCHAMI: Any other questions in the  
13 room?

14 If not, I'm going to go to the people in the  
15 attendance.

16 So, with that, Brian, go ahead and state your  
17 name and affiliation, and spell your last name.

18 MR. SELBY: Thank you. My name is Brian Selby,  
19 in affiliation with Selby Energy Inc. Last name is S-E-L-  
20 B-Y.

21 I just want to thank the Commission and all the  
22 case authors for the wonderful work they've done on the  
23 residential standards. A couple of things I'd like to  
24 address. Section 150.0(u), fenestration, new mandatory  
25 requirements. Lowering the U-Factor to 0.4 puts a lot of

1 pressure on installers to find compliant products,  
2 specifically skylights. A simple search through the NFRC  
3 certified products directory, you'll find that there are  
4 very few skylight products that can meet this 0.4 or lower  
5 U-Factor requirement. We feel like this is an undue burden  
6 on the industry, to have to meet such a low U-Factor, when  
7 our prescriptive requirements are really driving  
8 efficiency. We understand that there's a need to have a  
9 more stringent mandatory requirement, but in this  
10 situation, even the .45 U-Factor is causing a lot of issues  
11 within residential additions and alterations. In some  
12 cases new construction, but that's not the primary issue.

13           One other thing, Section 150.0(s). Wonderful  
14 that now we have some options when the Load Serving Entity  
15 is not able to provide the power. That's a current issue  
16 with the 2022 Code. We would like the Energy Commission to  
17 consider a retroactive opportunity under the 2022 Code to  
18 apply some of the language here, because it's starting to  
19 become a problem with ADUs, that -- where the utility or  
20 Load Serving Entity does not have the capacity, basically  
21 rendering that project as unbuildable, or cannot comply  
22 with the Code.

23           So again, I want to thank the Energy Commission  
24 and the case authors for the wonderful work they've done on  
25 the residential single-family standards. Just need to

1 clarify a couple of these issues.

2 So, thank you.

3 MR. BOZORGCHAMI: Thank you, Brian.

4 Javier, do you want to respond to that?

5 MR. PEREZ: Thank you, Brian.

6 Just to comment on your question -- or your  
7 comment related to skylights, you know, I know you this  
8 already, you trained on these requirements. I just to have  
9 to say it out loud. You know, we do have an exception for  
10 up to 10 square feet, or half a percent of the conditioned  
11 floor area of the building, whichever is greater, to not be  
12 required to be in alignment with the maximum U-Factor  
13 requirement, and also the mandatory U-Factor requirements  
14 are weighted-average requirements. So in this scenario --  
15 and we added the weighted average language as a result of  
16 feedback, right? So in a scenario where one has, you know,  
17 a poor-performing skylight, but really high-performing  
18 windows or reasonably performing windows, where the  
19 skylight ratio to rest-of-window ratio is pretty small, I  
20 think there would likely be reasonable solutions to satisfy  
21 that.

22 But Brian, I do want to have you reply and let me  
23 know if I'm off-base here.

24 MR. SELBY: Sure. Yeah. Thank you, Javier. I  
25 appreciate that.

1           And we're aware of those exceptions, and we find  
2 in many situations that those exceptions are even  
3 exhausted, and it makes it very difficult. But we  
4 understand the need for more stringent U-Factor  
5 requirements. It's just -- you know, it does put a strain  
6 on the industry to find compliant products, and we feel,  
7 like, at least skylights, you know, having possibly an  
8 exception, or some consideration, based on the lack of  
9 available compliant products in the market. So --

10           MR. PEREZ: Thank you so much.

11           MR. SELBY: I appreciate the comments on that.

12           MR. BOZORGCHAMI: Thank you, Brian. Thank you,  
13 Javier.

14           Next, Marina, go ahead. I'm going to unmute you.  
15 Go ahead and state your name and affiliation.

16           (Pause.)

17           Marina?

18           Okay, I'm not sure. We're not hearing you here.  
19 So I recommend maybe put your question or a comment in the  
20 Q&A, and Mikey will read it out for you.

21           So from there, we're going to go to Michelle. So  
22 go ahead. State your name and affiliation, please.

23           Michelle, you're going to have to -- there you  
24 go.

25           MS. AUSTIN: My name is Michelle Austin. I work

1 for Gabel Energy, A-U-S-T-I-N.

2 I would also like to comment on the fenestration.  
3 While I understand for new construction and large homes or  
4 production builds, that is a reasonable U-Factor, but for  
5 small additions, for small ADUs, for homes where all they  
6 are doing is altering a few glazing surfaces, it becomes  
7 virtually impossible for clients to do things the right  
8 way. There -- again, as Brian stated -- there are very,  
9 very few listed NFRC companies to begin with. Of those,  
10 there's only about four or five that have over five or six  
11 products that are currently available.

12 The other consideration is fire-rated glazing.  
13 So when you are talking about cities where buildings are  
14 built very close together, fire-rated windows are required,  
15 and cannot meet this U-Factor whatsoever, ever. Sometimes  
16 they are not changing very many glazing surfaces, so there  
17 is absolutely no way to meet this overall mandatory U-  
18 Factor.

19 I strongly recommend that there be exceptions for  
20 skylight alterations, small skylight additions, and also  
21 looking at the fire-rated windows. That is a health and  
22 safety issue.

23 Thank you.

24 MR. BOZORGCHAMI: Yeah. Thank you, Michelle.

25 Do you know anything about the fire-rated

1 windows? I know that the fire-rated windows are required  
2 for nonresidential multifamilies in certain areas, not in  
3 all locations.

4 I have a call with Gina Rodda within Gabel Energy  
5 to discuss this further, and also with Steve Strong with  
6 (indiscernible), who has brought this to our attention.

7 So we're looking into it. Stay tuned. We  
8 probably will be providing a health and safety exception,  
9 but we've got to look into it first. Thank you.

10 Mike, I'm going to unmute you. Go ahead and  
11 state your name and affiliation.

12 MR. LITTLE: Hello. My name is Mike Little, L-I-  
13 T-T-L-E. I'm a HERS rater, a self-employed sole  
14 proprietor.

15 I just have a question on -- it was touched on  
16 earlier regarding heat pumps and sizing. Would it -- well,  
17 nobody has mentioned anything about dual fuel systems. I  
18 know you're trying to get away from gas, but it seems to me  
19 that's the only viable alternative to using the resistance  
20 heating as a secondary heating measure.

21 Do you have any comments on that? It seems to be  
22 the only way where you could properly size the equipment  
23 for cooling and heating.

24 MR. PEREZ: Hi Mike, this is Javier with the  
25 Energy Commission.

1           You know, we're setting prescriptive baselines  
2 for heat pump space and water heating systems, and I say  
3 prescriptive because they're not mandatory. One could  
4 demonstrate compliance with the performance approach and  
5 could comply with dual fuel and with natural gas systems.  
6 You know, there isn't a mandatory requirement that  
7 disallows that from happening. So that flexibility is  
8 built into our Code.

9           MR. LITTLE: But with new construction, it's  
10 electric only. Seems to me that you would not be able to  
11 use a dual fuel system in those situations.

12           MR. PEREZ: Yes. The Energy Code is a  
13 performance standard, right? We set prescriptive  
14 requirements, they set the standard design, the baseline  
15 for demonstrating compliance with our Code. And where one  
16 wants to have design flexibility to install less  
17 insulation, or efficient HVAC systems, going with natural  
18 gas or a dual fuel system, one can do so.

19           The only thing that needs to be done is to ensure  
20 that the building meets the energy efficiency requirements  
21 of a building that would have met all prescriptive  
22 requirements. So there is not a requirement that disallows  
23 gas systems. That is not in this Code.

24           MR. LITTLE: Okay.

25           COMMISSIONER MCALLISTER: I want to -- this is

1 Commissioner McAllister. I just want to reinforce that  
2 issue. The Energy Code does not ban any particular fuel.  
3 It does not ban gas. There are pathways to build the  
4 building that the builder wants to build, as long as it  
5 performs -- as long as it meets the performance baseline,  
6 you know, the standard design baseline.

7           So I just want to be clear about that. It seems  
8 like there's a bit of misinformation or a bit of sort of  
9 misunderstanding out there about that issue. We will  
10 revisit for existing buildings in the Part 11 discussion,  
11 but for new construction, there is a -- you know, there is  
12 a path to incorporate minimum efficiency electric or gas  
13 appliances into the building that are, you know, federally  
14 allowable. So we obviously -- we're very aware of the sort  
15 of federal landscape as well as, you know, our state needs,  
16 and so we navigate both of those in the building Code.

17           Just want to be clear about that. Thanks for the  
18 question.

19           MR. LITTLE: Okay. Thank you. I must have  
20 misunderstood that.

21           MR. BOZORGCHAMI: Thank you. Thank you, Mike.  
22 Thank you, Javier. Thank you, Commissioner.

23           Next, we got Bob. Go ahead, Bob.

24           MR. RAYMER: Yeah. Thank you. This is Bob  
25 Raymer. That's R-A-Y-M-E-R. I'm with the California

1 Building Industry Association, and also representing the  
2 California Apartment Association.

3 And a point directly to Payam, later today I'll  
4 send you the provisions out of California Building Code  
5 Chapter 7A with regards to windows in the Wildland-Urban  
6 Interface, the fire safety stuff.

7 And speaking in general here, I certainly agree  
8 with what Commissioner McAllister just raised. The CEC is  
9 not proposing a ban on any type of fuel line, whatnot. We  
10 have different options. Yes, it's going to cost  
11 considerably more if you decide to go with gas, and we've  
12 recognized the CEC's trajectory to go in the direction of  
13 decarbonizing the house construction. The one concern that  
14 I have out there that I've raised before isn't really in  
15 the CEC's hands, and that is we're already running into  
16 capacity problems in Southern California, both San Diego  
17 Gas and Electric and especially in Edison.

18 The good news here is we're working very closely  
19 with these utilities to try to get a handle on this. While  
20 they indicate that they do have plenty of capacity, behind  
21 the scenes they're indicating that they just don't have the  
22 capacity where it's needed. And of course, to me, that's a  
23 capacity problem.

24 Our concern is, this shouldn't be happening now.  
25 We expected it to happen probably three, four years down

1 the line when existing housing and existing commercial  
2 buildings become a significant competitor with new  
3 construction for all electric needs. But this is a problem  
4 out there to the extent that the demand forecasts of both  
5 the CEC and the PUC can be worked in conjunction, and that  
6 we make sure California stays well ahead of our electrical  
7 needs. That would be a huge benefit to industry.

8 Thank you very much.

9 MR. BOZORGCHAMI: Thank you, Bob. And I look  
10 forward to that Chapter 7A. That's from the Building Code.

11 COMMISSIONER MCALLISTER: I'll just comment on  
12 the capacity issue. Thanks for bringing that up, Bob.

13 We are, you know, obviously in various forums,  
14 and just Staff-to-Staff and Commissioner-to-Commissioner  
15 in, you know, very close coordination with the PUC and the  
16 CAISO within the forecasting realm, and other areas, on  
17 that issue. I mean, there are some supply chain issues.  
18 That, I think, is part of what you're referring to, with  
19 transformers and just sort of equipment, in addition to  
20 some localized capacity issues. But very, very aware of  
21 that. And I think the planning processes that are in place  
22 now can manage that, you know, as long as we're all working  
23 together to make sure that there are no delays.

24 So thanks for bringing that up.

25 MR. BOZORGCHAMI: Thank you, Commissioner.

1           Next we have Chandra. Go ahead and state your  
2 name and affiliation, please. Spell your last name.

3           MS. APPERSON: Yes. Hi. Good morning, thank  
4 you. My name is Chandra Apperson, first name C-H-A-N-D-R-  
5 A, last name Apperson, A-P-P-E-R-S-O-N, and my comments  
6 here are as a certified energy analyst providing energy  
7 consulting services to contractors and designers.

8           Two areas that I think are legacy issues, where  
9 the language could be cleaned up very easily with just a  
10 few more words added. The first one is Section 150.0(a)1.  
11 If that could clearly indicate whether or not ductless  
12 systems need to comply with the mandatory roof deck  
13 insulation requirements, this is one we run into pretty  
14 frequently where, because the language is silent, we're  
15 having to make an assumption. The next one is similar,  
16 150.0(o)1G5. If you could clearly indicate the zone  
17 requirements for those local mechanical exhaust systems  
18 rather than referring to ASHRAE 62.2, since that is a  
19 resource that lives behind a paywall. It is very hard to  
20 access. Those requirements are listed currently in the  
21 Residential Single-Family Compliance Manual, but most of  
22 the smaller contractors that I work with are not going to  
23 access that material. So they have a hard time finding  
24 systems that comply, or knowing whether or not they are  
25 compliant.

1           So if that language regarding the zone  
2 requirements could be brought directly into the Code, I  
3 think it would make their job a lot easier.

4           Thank you.

5           MR. BOZORGCHAMI: Thank you, Chandra.

6           MR. PEREZ: Yeah. Thanks, Chandra. We'll review  
7 your comments. Very much appreciate the constructive  
8 feedback there.

9           Related to ASHRAE standards and guidelines and  
10 their availability, 62.2 is available to the public. And  
11 what I will do is, when we update these slides before  
12 posting to the docket, we'll add a link to that ASHRAE  
13 technical resources webpage so that you can access it.

14           MR. BOZORGCHAMI: Thank you, Javier. Thank you,  
15 Chandra.

16           I don't have any more raised hands.

17           Michael? We have two?

18           MR. SHEWMAKER: Yeah. We have two online  
19 questions in the Q&A.

20           The first is from Mike Little: will any of the  
21 new requirements be HERS-verified?

22           Stephen, do you want to take that?

23           MR. BECKER: Hi, Mike. In terms of, if we're  
24 speaking about Section 150.0 for the single-family  
25 mandatory requirements: no, there will not be any new HERS

1 requirements. I don't think anything else is going to be  
2 HERS-verified.

3 MR. SHEWMAKER: Thank you, Stephen.

4 Our second question is from Hassan: is there any  
5 plan to change the Energy Code numbering system to be  
6 similar with other State Code numbering?

7 MR. BOZORGCHAMI: Hassan, stay tuned. It's  
8 happening. There will be revisions happening. It won't  
9 happen for the 2025, but we're working on getting some  
10 updated for 2028. There may -- we're working on a shadow  
11 set of standards, where we'll have the current provisions  
12 as the legal document, as the legal numbering mechanisms,  
13 but we will provide a 2028 version that will be a version  
14 for training purposes until you folks all get acclimated  
15 to the new numbering scheme, and we'll have that moving  
16 forward for 2028.

17 That's our vision. That's our plan. Stay tuned.

18 MR. MAYER: This is Shawn Mayer with Harris &  
19 Sloan.

20 So I actually had a second question when I talked  
21 earlier, and that was if there was going to be a  
22 verification process for heat pump sizing.

23 MR. BECKER: I mean, I think -- this is Steven --  
24 the answer is that there is no HERS verification or field  
25 verification diagnostic testing component to these

1 measures. So where the installer is responsible for this  
2 work, they need to complete the appropriate documentation  
3 ensuring that they're meeting the requirement.

4 MR. BOZORGCHAMI: Any other questions? I don't  
5 see any other raised hands -- I apologize -- I think.

6 So with that, we're going to go to Danny Tam, and  
7 he's going to be presenting on the prescriptive single-  
8 family provisions for infrastructure.

9 MR. TAM: Hi, I'm Danny Tam, and I'm an Associate  
10 Mechanical Engineer from the Building Standards Branch.  
11 I'll be presenting the proposed updates to the prescriptive  
12 requirements for single-family buildings.

13 Next slide, please.

14 In Section 150.1(c)3A, we're proposing to add a  
15 new Exception 1, as well as modifying one of the existing  
16 exceptions to the prescriptive fenestration standards.  
17 Exception 1 will be added for new dwelling units with  
18 conditioned floor area of 500 square feet or less in  
19 Climate Zones 5 through 10 and 15, and would allow projects  
20 to comply with a maximum U-Factor of 0.30. The current  
21 Exception 2 will be renumbered to become Exception 3, and  
22 would be modified to restrict the exception to Climate Zone  
23 2, 4, 6 through 15, as well as reduce the maximum allowed  
24 U-Factor to .40. Additionally, language will be added to  
25 clarify that there is no prescriptive SHGC requirement in

1 Climate Zone 1, 3, 5, and 16.

2 Next slide, please.

3 In Table 150.1-A, we're proposing to make the  
4 following changes to the building envelope requirements.  
5 For high-performance attics, Option C, we're proposing to  
6 increase the prescriptive ceiling insulation standards to  
7 R38 in Climate Zones 8 through 10. For slab floors, we're  
8 proposing to correct the thermal conductivity units  
9 expressed by the requirement. Currently, the requirement  
10 is in terms of U-Factor. We're proposing to use F-factor,  
11 which is more accurate to use for slab floors. For  
12 fenestration, we're proposing to reduce the prescriptive  
13 maximum U-Factor to .27 in Climate Zone 1 through 5, 11  
14 through 14, and 16.

15 Next slide.

16 This proposal will add a new prescriptive option  
17 to Table 1-A. Cathedral ceilings would be required to have  
18 a maximum U-Factor of .02 to .032, or a minimum R-value of  
19 30 to 49, respectively. Depending on the Climate Zones, R  
20 30 is proposed in Climate Zone 11, 14, and 16; R 38 in  
21 Climate Zones 1, 2, 4, 8 through 10, 12, 13, and 15; and R  
22 49 in Climate Zone 3 and 5 through 7. In addition to these  
23 installation requirements, space, conditioning, equipment,  
24 and ducts would be required to meet Section 150.1(c)9B,  
25 which requires that the verified low-leakage ducts in

1 conditioned space conditions to be met as specified in  
2 Reference Appendix Section RA 3.1.4.3.8.

3 Next slide.

4 Okay. In Section 150.1(c)6, we're proposing a  
5 change to the space heating system type. Currently, in the  
6 2022 Standards, we require a heat pump space heater in  
7 Climate Zones 3, 4, 13, and 14. For the 2025 Standards,  
8 we're proposing to require a heat pump space heater in all  
9 Climate Zones. Table 150.1-A will be modified to reflect  
10 this change. As a note, other system types can continue to  
11 use the performance compliance method.

12 Next slide.

13 In Section 150.1(c)8, we're proposing to remove  
14 exception one for gas instantaneous water heater in Climate  
15 Zones 3, 4, 13, and 14. Currently the 2022 Standards  
16 requires a heat pump water heater or solar water heating  
17 system with electric backup, with exceptions in Climate  
18 Zones 3, 4, 13, and 14. So, for 2025, by removing this  
19 exception, heat pump water heaters or solar water heating  
20 systems with electric backup will be prescriptively  
21 required in all Climate Zones. Similar to space heating,  
22 other system types can continue to be used under the  
23 performance compliance method.

24 The current Exception 2 will be renumbered to  
25 Exception 1. This is an exception intended for newly

1 constructed small dwelling units with a conditioned floor  
2 area of 500 square feet or less. We're proposing that we  
3 move the word instantaneous to make the exception more  
4 flexible so that all electric water heater with a point of  
5 use distribution can qualify for this exception.

6 Next slide.

7 In Section 150.1(c)7, we have updated the charge  
8 verification requirements. It is now dependent on whether  
9 the space conditioning system is a heat pump or air  
10 conditioner. For air conditioners, refrigerant charge  
11 verification is required in Climate Zones 2 and 8 through  
12 15. For heat pumps, refrigerant charge verification is  
13 required for all Climate Zones. Additionally, we have  
14 removed the option to comply using the fault indicator  
15 display method.

16 Next slide.

17 In Section 150.1(c)15, ventilation system fault  
18 indicator display, FID, we added language to require all  
19 HRV ERV systems that serve individual dwelling units to  
20 have a fault indicator display and be verified as specified  
21 in Joint Appendix JA17. In Table 150.1-A, we added a role  
22 under HVAC system to specify that HRV ERV system shall meet  
23 requirements of 150.1(c)15.

24 Next slide.

25 Okay. Moving on to the single-family PV

1 requirements and 150.1(c)14. The current 2022 PV  
2 requirement is a formula that varies based on the  
3 conditioned floor area and the number of throw-in units.  
4 Under performance compliance, the PV size is based on the  
5 annual electrical load of a mixed-fuel building. And  
6 finally, the PV size can be reduced if the Solar Access  
7 Roof Area, or SARA, is limited.

8 Next slide.

9 For 2025, we're proposing to add a new term to  
10 the PV formula that is based on the EER2 of the installed  
11 HVAC system. To be clear, the PV size would remain the  
12 same when the EER2 is equal or greater than 11.7. This is  
13 being proposed as a reduction in minimum PV size that  
14 corresponds to the EER2 rating of the proposed space  
15 conditioning system. For Climate Zones where EER2 rating  
16 results in LSC savings, when compared to a minimum value of  
17 seven, the part of the equation in the red box will reduce  
18 the PV system size by full compliance. The reduction in  
19 size is capped at an EER of 11.7.

20 Next slide.

21 Under performance compliance, we're proposing to  
22 use the prescriptive PV formula to determine the standard  
23 design PV size. This is similar to how multifamily and  
24 non-res PV size is determined under performance. For  
25 buildings that have limited solar access, we're proposing a

1 minimum PV requirement that varies based on the pitch of  
2 the roof. For roofs with a pitch less than 2 to 12, or  
3 flat roofs, the minimum PV size is proposed to be  
4 determined by SARA times 14 watts per square feet. and for  
5 roofs with pitch greater than or equal to 2 12, the  
6 proposed PV size is SARA times 18 watts per square feet.

7 Next slide.

8 This is a sample table of the proposed PV  
9 requirement for a 27 square feet prototype with different  
10 EER2s. The most significant difference is in the hotter  
11 Climate Zones, such as Climate Zones 11, 13, and 15. For  
12 the milder Climate Zones, there is little to no effects to  
13 the PV size.

14 Next slide.

15 Moving on to the JA12, qualification requirements  
16 for battery energy source systems. Currently we don't have  
17 prescriptive requirements for battery in single-family, but  
18 it is available as a compliance option. And in order to  
19 qualify for the compliance credit, batteries needs to be  
20 certified to the CEC as JA2 compliant.

21 First, we added some new definitions in JA12.  
22 There's just a few I want to focus today. We introduced a  
23 definition of Battery Energy Storage Systems, or BESS.  
24 Currently in the standard, battery is being referred to  
25 both as a battery storage system and energy storage system.

1 This change will consolidate the definitions, and also  
2 align with energy terms and IECC definition for BESS.

3           Next, cycling capacity is the battery capacity in  
4 kilowatt-hour that is available for daily cycling, and  
5 compliant cycling capacity is the cycling capacity in  
6 kilowatt-hour that is programmed during installation, and  
7 would be subject to the new control requirements that will  
8 come out later on. Reserve level is the battery capacity  
9 that is not subject to the new control requirements, and  
10 available for other functions, such as home backup.

11           Next slide.

12           In JA12.3.1, we added reference of UL1741  
13 Supplement SB to the safety requirements. This is in  
14 alignment with updates to the CPUC Electric Rule 21 for  
15 grid support inverters. In JA12.3.2, we moved the minimum  
16 5-kilowatt hour capacity requirement from prescriptive  
17 compliance. We also updated the language for performance  
18 so that it's clear that the minimum 5-kilowatt requirement  
19 is per building, so that it can be met by having multiple  
20 batteries.

21           Next slide.

22           In JA12.3.3, we removed subsection (c) and (d),  
23 which currently deals with the battery backup behavior and  
24 twice-a-year reset requirement. Through stakeholder  
25 collaboration, Staff determined that this requirement

1 doesn't quite align with how batteries currently operate.  
2 Instead, we're introducing a new control requirement that's  
3 applicable to single-family only. If the cycling capacity  
4 of the battery drops below the compliance cycling capacity  
5 due to a change in the reserve level, after 72 hours the  
6 battery shall automatically reset the cycling capacity back  
7 to the compliance cycling capacity. This will ensure the  
8 battery will operate as a load-shifting device throughout  
9 its life. Any reserve level changes, weather, or PSPS  
10 events are not subject to this reset.

11           Working in conjunction with this new control  
12 requirement, we added a new Section JA12.5 for labeling  
13 that is, again, applicable to single-family only. The  
14 expectation is that the installer will program the battery  
15 with the compliance icon capacity, and then permanently  
16 attach a label to the battery.

17           Next slide.

18           We're proposing to remove JA12.6 because of  
19 potential redundancy and conflict with CPUC and publicly  
20 owned utility interconnection requirements. And so after  
21 renumbering the new JA12.6, we added reference to the new  
22 single-family labeling requirement -- so that the building  
23 inspector would be checking the label against the  
24 certification of installation. And JA12.7 is a new section  
25 that has a certification documents requirement. This is to

1 provide guidance for manufacturers for JA12 certifications,  
2 which, at the minimum, the manufacturer needs to submit the  
3 product spec sheets and any documentation on the control  
4 strategies and the 72-hour resets.

5 Next slide.

6 Okay. Now we want to provide update on the  
7 single-family performance path heat cooling energy  
8 calculations for climates zones 4 and 8 through 15. This  
9 topic will be covered in detail during the ACM reference  
10 manual workshops in the coming months. Peak cooling was  
11 introduced during the pre-rulemaking workshops and the pre-  
12 rulemaking slides, as well as updates on the current status  
13 now available on the 2025 rulemaking docket. While peak  
14 cooling was mentioned in the Draft 2025 Express Terms,  
15 staff proposed that this topic is more appropriate for the  
16 2025 single-family residential ACM Reference Manual.

17 Through collaboration with stakeholders,  
18 including building industry and energy consultants, we  
19 developed new calculations for peak cooling energy in those  
20 specific Climate Zones, achieving 120 percent or less of  
21 the peak cooling energy of the 2025 single-family  
22 prototypes used in the compliance path, which will then be  
23 used to demonstrate compliance. This allows builders and  
24 design flexibility across a wide range of system types,  
25 including flexibility on decisions related to orientation,

1 fenestration, allocations, and varying construction  
2 practices.

3 Next slide.

4 Finally, we updated the research version of the  
5 2025 CBECC with the new proposed Peak Cooling Energy  
6 Calculations. It is now available to download on our  
7 website.

8 Next slide.

9 MR. BOZORGCHAMI: Thank you, Danny.

10 MR. TAM: That concludes my presentation, and  
11 we're now open for questions.

12 MR. BOZORGCHAMI: Thank you, Danny.

13 Do we have any questions or comments in the room?

14 We've got one raised hand.

15 MS. PAYNE: Bronte Payne with SunPower, P-A-Y-N-  
16 E.

17 I just wanted to say on the battery -- the JA12  
18 qualifications, we're supportive of the 72-hour reset. We  
19 think it will actually align well with the best economics  
20 for customers when using their battery. I appreciate that  
21 it still allows for you to install a five-kilowatt hour  
22 battery to comply with JA12. So we're excited about both  
23 of those provisions and the maintaining of the compliance  
24 credit for battery storage.

25 MR. TAM: Thank you.

1 MR. BOZORGCHAMI: Any more?

2 Thank you, Danny.

3 So I'm going to open it up for the people on the  
4 phone. Meg, go ahead and state your name and affiliation,  
5 please. You're muted -- oh, there you go.

6 MS. WALTNER: Yeah. Can you hear me?

7 MR. BOZORGCHAMI: Perfect.

8 MS. WALTNER: Hi, Meg Waltner, W-A-L-T-N-E-R  
9 Energy 350, supporting the Natural Resources Defense  
10 Council.

11 I just wanted to start by strongly supporting the  
12 expansion of the prescriptive heat pump baselines to space  
13 and water heating in all climate zones. We think these  
14 will set an important decarbonization signal for buildings,  
15 while, as it's been discussed, will still allow flexibility  
16 and fuel choice under the performance path, and so just  
17 really strongly supportive of staff's work to expand those  
18 baselines.

19 The other comment I had in this section, I was  
20 curious to learn more about the PV EER2 tradeoff. I'm  
21 wondering if there's any further documentation of how those  
22 numbers were developed. I haven't looked at the docket  
23 closely enough to see. You know, sort of at first  
24 reaction, I'm curious whether you've taken into account the  
25 difference in system lifespan between HVAC equipment and PV

1 systems, and also sort of the certainty of performance  
2 relative between those two systems in developing those  
3 numbers.

4 And then finally wanted to support your work on  
5 accounting for peak cooling. I think that is an important  
6 topic, and important to also allow some flexibility in how  
7 you do it. So I'm still sort of digesting what you've done  
8 there, but overall it seems like you've come up with a good  
9 approach on that.

10 Thanks. I think that's all I have in this  
11 section.

12 MR. BOZORGCHAMI: Thank you, Meg.

13 MR. TAM: Hi. This is Danny.

14 As far as the reduction in size, it's supposed to  
15 account for the LSC difference when you have a higher  
16 efficiency EER2, so that should correspond to whatever LSC  
17 savings you get as compared to a reduction in PV size.

18 As far as documentation, is it in the docketed  
19 report?

20 Yeah, so it should be in the docketed report.

21 MS. WALTNER: Okay. Danny, it sounds like you  
22 didn't do any accounting of the difference in lifetime  
23 between a PV system and an air conditioner in that  
24 accounting. Like, it's just a straight LSC difference in  
25 how they're modeled?

1 MR. TAM: Correct.

2 MS. WALTNER: Okay.

3 MR. BOZORGCHAMI: Thank you, Meg. Thank you,  
4 Danny.

5 Bob, I'm going to unmute you. Go ahead.

6 MR. RAYMER: Thank you. This is Bob Raymer,  
7 that's R-A-Y-M-E-R, with the California Building Industry  
8 Association and the California Apartment Association.

9 Just like to raise two points. First, we're very  
10 appreciative that the Commission is going to maintain some  
11 type of compliance benefit for storage. As we know, gas  
12 prices are going up, but so are electric prices. And we  
13 especially see a huge shift coming our way in the next  
14 three to four years, where, from a market standpoint,  
15 consumers more and more are going to be wanting storage on-  
16 site as a hedge against increased electrical rates. And I  
17 think you're going to find local government entities are  
18 going to like that, too.

19 Now, moving on to the peak load, like NRDC, CBI  
20 strongly supports the CEC's proposed modification. We've  
21 done some initial analysis, which we shared with the CEC.  
22 This change that you're making allows us to continue to  
23 focus on summer peak load items that really help reduce  
24 that. And now Javier, this morning, passed along the new  
25 CBECC version 9.9b. And COMSOL is going to go ahead, and

1 as always, as we've done for the last 20 years, we'll be  
2 doing some analysis using this latest computer program, and  
3 we'll be sharing all that with the CEC. But I have to say,  
4 right now, it's looking very good.

5 Thank you very much.

6 MR. BOZORGCHAMI: Thank you, Bob. Thank you for  
7 your support.

8 Next we've got Luke. Go ahead, Luke, state your  
9 name and affiliation, and spell your last name, please.

10 MR. MORTON: Yes. My name is Luke Morton, L-U-K-  
11 E M-O-R-T-O-N. And I'm calling from the CABEC Advocacy  
12 Committee, California Association of Building Energy  
13 Consultants.

14 And one kind of -- we are still reflecting on  
15 some of the new requirements, and largely supportive. The  
16 comment I have just specifically on the PV requirements and  
17 the year 2 is, some of the conversations we are having  
18 amongst ourselves is how to communicate those to -- and get  
19 those communicated in the project workflow. Essentially,  
20 what do you tell the -- we're, in our tasks, are trying to  
21 get the PV designers and installers retained early, earlier  
22 than possible -- as early as possible in the design  
23 process, to set that Code compliance element up for  
24 success. And adding these new elements with the steep  
25 slope and multipliers, but more importantly, the EER2

1 elements in that equation, make it just a little bit more  
2 to do that. Typically the PV subcontractors and designers,  
3 they have no idea what EER2 is. In the end, we can  
4 probably -- we'll end up sorting this stuff (audio cuts  
5 out) as we go into compliance modeling, and such. And give  
6 them more for numbers.

7 I think the recommendation I'd have, or one  
8 possible resolution, is just if there's finding a way to  
9 note reasonable values, or in the Residential Compliance  
10 Manual, I know I will be, and many of us will be, teaching  
11 about it as well to give those, the design community,  
12 default numbers. But just trying to think about how to  
13 help this Code do the work that it wants to do.

14 And that's it. Thank you.

15 MR. BOZORGCHAMI: Thank you, Luke.

16 Danny, do you want to respond?

17 MR. TAM: No. Just thank you for your comment.

18 One change that might make it easier for 2025 is  
19 that the standard design PV size is based on the formula.  
20 So, that should be, you know -- remain fixed, you know, no  
21 matter what type of project you have. So that could make  
22 things easier when you comply using performance.

23 MR. BOZORGCHAMI: Thank you, Danny.

24 Next, Brad. Go ahead and state your name and  
25 affiliation, and last name, please.

1           MR. HEAVNER: Good morning. It's Brad Heavner,  
2 H-E-A-V-N-E-R, Policy Director with the California Solar  
3 and Storage Association. I wanted to just thank the staff  
4 for all the hard work that's taken us to this point, and  
5 comment on the JA12 energy storage requirements.

6           The 72-hour reset, we believe, is a reasonable  
7 compromise on how to ensure that batteries do the cycling  
8 that they're expected to do. We believe there are just two  
9 additional elements that are needed on the operating  
10 conditions.

11           One is to target the timing of discharges in  
12 response to time-of-use rates. The way it's written,  
13 batteries may be forced to discharge in the middle of the  
14 day when rates are lower, which would be to the detriment  
15 of customers who could save that charge for TOU peak hours.  
16 And we would still get the same amount of cycling, and  
17 actually at a more beneficial timing, if they're allowed to  
18 wait until the high pricing. And there may be days when  
19 you really don't want them to discharge in the middle of  
20 the day. So we can clean that up.

21           The other one is in advance of extreme weather  
22 events that, you know, we will be doing daily cycling and  
23 solar-only charging for these batteries, but there should  
24 be a timeout allowed on that activity during announced  
25 severe weather advisories by the National Weather Service,

1 and public safety power shutoff events. This is allowed in  
2 other programs where we can pause our cycling in response  
3 to storm activity, and it should be allowed as well here.

4 We also have some concerns about the labeling  
5 requirements. I don't think we've had much discussion of  
6 that, and we will go back to staff with our issues there.

7 Thanks very much.

8 MR. BOZORGCHAMI: Thank you, Brad.

9 Brad, you have a lot of good comments there. Can  
10 I ask you to submit those in writing to us sooner than May  
11 13th? Because we've got a team of staff working on that  
12 right now.

13 MR. HEAVNER: We absolutely will. Yes.

14 MR. BOZORGCHAMI: Thank you so much, sir.

15 Jonny, go ahead and state your name and  
16 affiliation, please.

17 MR. KOCHER: Hey there, Jonny Kocher, that's K-O-  
18 C-H-E-R, with Rocky Mountain Institute.

19 Wanted to, yeah, voice support for the two heat  
20 pump baseline for residential homes. We think this is a  
21 great step forward, and really want to cheer the CEC on for  
22 being a leader in decarbonization and new construction. I  
23 think this is a good example that other states should be  
24 looking towards as a way to promote electrification while  
25 still having the flexibility within federal law. And yeah,

1 great research and work on this. I look forward to working  
2 with the CEC moving forward to ensure this gets into the  
3 final Code.

4 Thank you.

5 MR. BOZORGCHAMI: Thank you, Johnny. Looking  
6 forward to working with you.

7 Andy, go ahead and state your name and  
8 affiliation, and please fill your last name for the record.

9 MR. SCHWARTZ: Yeah. Good morning. Andy  
10 Schwartz. Can you hear me okay?

11 MR. BOZORGCHAMI: Perfect.

12 MR. SCHWARTZ: Yeah, so yeah, my name is Andy  
13 Schwartz. A lot of people know me as S-C-H-W-A-R-T-Z. I'm  
14 speaking on behalf of Tesla this morning.

15 I just want to align our comments with those of  
16 CSSA. We agree with the statement that Brad shared  
17 earlier.

18 First, I want to thank CEC staff for the  
19 collaborative work they did on the JA12 reforms. In  
20 particular, we were really pleased to see the new framework  
21 with the designation of cycling capacity in the 72-hour  
22 reset which we think is a, you know, superior approach to  
23 ensure ongoing cycling of these systems to achieve the  
24 greenhouse gas and other emission goals that the CEC hopes  
25 to achieve by allowing storage to offset other building

1 performance requirements.

2           That said, we do have some lingering concerns  
3 about the specific control strategies that the cycling  
4 capacity is subject to. As currently drafted, while, you  
5 know, we certainly appreciate the intent of things like the  
6 basic control and time-use control, as written, they seem  
7 to, you know, we think, impose an overly restrictive kind  
8 of order of operation on systems. And you'll be able to  
9 recognize some of the contingencies that Brad mentioned,  
10 including, you know, customers may want to charge from both  
11 solar and storage to get their battery system in as high a  
12 state of charge as possible in advance of a potential  
13 outage.

14           So we will also plan on submitting, I think, some  
15 comments in advance of the May 13th deadline to suggest  
16 some amendments to the language to soften a bit, and in a  
17 manner that we think can preserve the intent to ensure  
18 cycling without unduly limiting the way customers use these  
19 systems. So I look forward to following up and working  
20 with all of you on potential future changes.

21           Thank you.

22           MR. BOZORGCHAMI: Thank you, Andy.

23           Andy, if possible also, could you submit your  
24 comment? I know you said earlier, but sooner the better on  
25 that one. This is a very delicate area that we want to

1 make sure we get right. So the sooner we get your  
2 comments, the better we are. And so is Brad's comments,  
3 that'd be great.

4 (Pause.)

5 Blake, I'm going to unmute you. Go ahead and  
6 state your name and affiliation, please.

7 MR. HERRSCHAFT: Hi. My name is Blake  
8 Herrschaft, H-E-R-R-S-C-H-A-F-T. I'm the Building  
9 Electrification Programs Manager for Peninsula Clean  
10 Energy, and have been a professional mechanical design  
11 engineer licensed in California for over a decade.

12 We want to commend the CEC on moving forward on  
13 decarbonization with the two heat pump baseline for new  
14 homes. This will drastically reduce greenhouse gas  
15 emissions of new homes, will future-proof our new housing  
16 stock, reduce local government staff time devoted to Reach  
17 Code adoption, and save Californians money. As a  
18 professional design engineer, I've successfully specified  
19 heat pumps for commercial and residential buildings in  
20 California since before the first iPhone was released. As  
21 a consultant and now programs manager for Peninsula Clean  
22 Energy, I've supported cities in all-electric Reach Code  
23 adoption for over two dozen jurisdictions.

24 We are ready. Our local building officials have  
25 shared that it is rare than an applicant for new

1 construction even considers gas anymore. Our realtors and  
2 builders note that the market has moved towards all-  
3 electric. We really want to thank the CEC staff and  
4 Commissioners for the changes made over the last two Code  
5 cycles, and the proposals presented here today.

6 Thank you so much.

7 MR. BOZORGCHAMI: Thank you, Blake. Thank you  
8 for that support.

9 Kurt, I'm going to unmute you. Go ahead and  
10 state your name and affiliation, please.

11 MR. HURLEY: Yes. Thank you so much. Kurt  
12 Hurley. My affiliation is with the City of Berkeley. I'm  
13 the Green Building Sustainability Program Manager. Last  
14 name is spelled H-U-R-L-E-Y.

15 I'd like to echo many of the comments and the  
16 support on the compliance cycling capacity to be flexible  
17 in allowance with respect to the economic reciprocity of  
18 time-of-use rates.

19 I have another comment regarding the compliance  
20 cycling capacity, pertaining to BESS. And in general, just  
21 a reminder that as we look statewide at reliance on  
22 electric appliances that may have a 12 to 15-year lifetime,  
23 we do not forget that a building which intrinsically has  
24 the ability to perform the storage of heat energy, and then  
25 to redeploy it, may be of value. I have made a comment on

1 the California Energy Plan for 2024, and I think that same  
2 comment pertains here. So there might be an alternate  
3 compliance pathway where the internal wall assemblies have  
4 an increased thermal mass.

5           So currently, in the Table 150.1-A, we have a  
6 mass wall assembly, which is an exterior wall, at 7 BTU per  
7 foot per -- I'm sorry, per hour per square foot. But if we  
8 modeled 12 for interior walls only, the structure would  
9 have the ability to coast through. And so you might  
10 consider relaxing that compliance cycling capacity if the  
11 interior mass walls -- which, by the way, might have a  
12 lifetime of 70 years or 90 years, if it's wood frame  
13 construction, depending on the climate -- but achieves the  
14 same grid-friendly goals. So, you know, as we're pushing  
15 these appliances, the ability for them to interact,  
16 considering the systems impact, and the distribution, the  
17 transmission grid, and our overall State's energy system,  
18 we don't want to forget that if we build structures not  
19 only with ultra-efficient envelopes, but add to that  
20 approach increased thermal mass, we can reduce the  
21 engineering challenges and the interconnection challenges  
22 with the battery energy storage. And we might consider an  
23 alternate path here.

24           And I'll make this comment. I'm not opposed to  
25 the compliance cycling capacity. Of course, it's a

1 necessity. What I'm inviting us to do is sort of a yes-and  
2 paradigm, and not forgetting the opportunity to remind  
3 designers statewide that increasing thermal mass of  
4 buildings may have a comparable benefit.

5 Thank you.

6 COMMISSIONER MCALLISTER: Yeah. Can I ask a --  
7 or make a quick comment there? Or ask a question?

8 I wanted to jump in. Thanks for that comment.  
9 Really excellent. And, you know, the Energy Commission has  
10 been funding for a number of years some research on related  
11 topics here, phase change materials and the like, that can  
12 be used in wall assemblies that really do provide thermal  
13 storage. Not thermal mass, but thermal storage.

14 And so are you thinking of any particular  
15 technology class, or just kind of general?

16 And then I wanted to ask staff sort of to detail  
17 sort of the performance path that that might have to  
18 follow.

19 MR. HURLEY: So thank you for the follow up  
20 question. As a mentor with the National Berkeley Labs  
21 Innovation Program, IMPEL, I'm agnostic to any material,  
22 because innovators and startups are coming up with ideas  
23 which need to be vetted all the time. And we know of phase  
24 change materials and using those in interior wall  
25 assemblies in a way that doesn't interfere with the

1 structural load bearing design requirements for wall  
2 assemblies. And well, in my earlier comment, I suggested  
3 up to 67 percent of the interior wall assemblies, maybe you  
4 do this 12 BTU per hour per square foot.

5 So to answer your first, you know, agnostic to  
6 materials. I'm not aware of the material, and as a  
7 government employee, obviously I can't endorse any one  
8 particular approach, but I have to provide examples. Did I  
9 -- and then I'm sorry, did I answer your -- you had a  
10 second part of your question. Did I cover that?

11 COMMISSIONER MCALLISTER: You know, my second  
12 part was more for staff to just describe the performance  
13 path for incorporating measures like that, so that people  
14 could actually go to the performance path and incorporate  
15 those into their design.

16 MR. BOZORGCHAMI: So currently in the computer  
17 software that we use for evaluating these measures and  
18 proposals, there is a built-in minimum thermal mass  
19 assumption. I believe it's -- oh, okay -- between 20  
20 percent and 30 percent of the buildings considered to have  
21 thermal mass. In the past CODE cycles, we used to have  
22 that available, where a designer or energy consultant could  
23 model where thermal mass is located regarding -- or based  
24 on the unit interior mass capacity.

25 But now -- and I apologize for saying this -- but

1 in the past we've noticed that there was a lot of gaming  
2 happening with that. So what we decided to do earlier on  
3 in the early 2000s was to build that into the program, so  
4 assumption that there's a 20 percent built-in requirement  
5 for a thermal mass.

6 Now, within the compliance assembly within the  
7 program, depending on how you -- whether you assume a CMU  
8 wall, metal framing, or wood framing, that thermal mass is  
9 captured internally within the program. And that's what  
10 was used for evaluating what we did with mechanical systems  
11 and others. Single-family homes, we assume a wood framing  
12 system with your standard 20 percent, assuming that there's  
13 carpet, hardwood floor, entries, and whatever so forth is  
14 your flooring for kitchens and bathrooms.

15 The Energy Commission, we understand through our  
16 research programs that there are other phase change  
17 materials coming in, there's more efficient fenestrations  
18 in the works right now. We're looking at IGUs. We're  
19 looking at, as Kurt said, phase change materials. And as  
20 that does come about, and is more available, and more  
21 readily available in the marketplace, that it shows  
22 reliability and construction practice, we will be able to  
23 integrate that into CBECC software. And CBECC software  
24 being a more exquisite program, it's easily captured.

25 COMMISSIONER MCALLISTER: Alright. Thanks.

1           MR. HURLEY: Thank you. That was valuable,  
2 understanding the history. And thank you, I'll submit the  
3 comment in writing. Again, it is redundant to a comment  
4 that I already made on the State Energy Action Plan.

5           The gaming in the past, that's, you know --  
6 potentially, in a current situation, if there were three or  
7 four common, accepted higher thermal storage-capable  
8 interior wall assemblies, and you could choose from a drop  
9 down menu, and then the plans had to demonstrate, oh, this  
10 is interior thermal storage assembly three, you know, show  
11 that on your elevations or your floor plan -- but maybe  
12 that's pushing a little bit far. But there's always a  
13 middle ground to make something work with the deck of cards  
14 that we have currently. And I understand that we have  
15 emerging materials, we have the past issue, which I wasn't  
16 aware of, you know, of flexibility in the software that was  
17 not -- was, you know, misutilized.

18           But thank you. Thank you, and I'll leave my time  
19 for other comments, for other people's comments.

20           Thank you.

21           MR. BOZORGCHAMI: Thank you, Kurt.

22           Kurt, let's you and I touch bases. There are  
23 mechanisms to get these new systems into the CBECC  
24 software. We don't have to wait for the three-year Code  
25 cycle, but these systems have to show validity.

1 MR. HURLEY: Got it.

2 MR. BOZORGCHAMI: But we're more than happy to  
3 work with you. We do have a program that does that.

4 MR. HURLEY: Yeah, yeah, modeling is what I -- we  
5 need to do a modeling first.

6 Thank you.

7 MR. BOZORGCHAMI: Okay. Well, we'll get  
8 together, Kurt.

9 Next, Marina. I'm sorry, I think I accidentally  
10 lowered your hand earlier. I apologize. But go ahead and  
11 state your name and affiliation.

12 MS. BLANCO: Hi, can you guys hear me this time  
13 around?

14 MR. BOZORGCHAMI: Perfect. Thank you.

15 MS. BLANCO: Great. Hi, my name is Marina  
16 Blanco, B-L-A-N-C-O, with Gabel Energy.

17 And thank you guys for all the work on this  
18 prescriptive single-family. There's some great adds to it  
19 that I'm really enjoying, especially this exception, new  
20 dwelling units with a conditioned floor area of 500 square  
21 feet or less with the fenestration. It's Exception 1 to  
22 Section 150.1(c)3A.

23 This is in Section 150.1 for new construction. I  
24 just wanted to verify that the addition and alteration  
25 sections are written in such a way that, would this

1 exception also apply to new dwelling units that are  
2 considered an addition, new ADUs that are considered  
3 additions to a home, or an alteration to a home also meet  
4 this exception? Or is this limited only to new  
5 construction dwelling units at this time?

6 MR. BOZORGCHAMI: I think you're jumping the gun  
7 a little bit here, Marina. If you wait until after the  
8 break, Bach Tsan is going to be talking about the additions  
9 and alterations for single-family.

10 MS. BLANCO: Okay.

11 MR. BOZORGCHAMI: And we can answer that question  
12 during that time if that's possible.

13 MS. BLANCO: Absolutely.

14 MR. BOZORGCHAMI: Thank you.

15 And I promise, I will have you raise your hand,  
16 and I will respond. Sorry about that earlier.

17 Luke, go ahead.

18 Oh. Luke dropped his hand too. So it's back up.  
19 There we go.

20 Luke, go ahead and state your name and  
21 affiliation.

22 MR. MORTON: Yeah. Hi, this is Luke Morton, L-U-  
23 K-E M-O-R-T-O-N, calling from the CABEC Advocacy Committee.

24 Just wanted to chime in for 20 seconds to reflect  
25 on, I was provoked or inspired by Kurt's comments on -- and

1 just wanted to bring this up as a placeholder for future  
2 stuff -- in terms of that, and thinking about how our  
3 Building Standards are going to be more interactive with  
4 the distributed energy system in our grid, which I think  
5 there's -- you know, the IEPR is kind of the direction  
6 we're going. But to encourage the Commission, you know, as  
7 it's already doing, looking at PCMs and other kinds of  
8 storage technologies, to maybe open up some of those  
9 opportunities to figure out how, and not if, to get maybe  
10 past, say, you know, things like thermal mass enabled  
11 again. But to do it in a way that addresses past concerns.  
12 But to essentially help resolve our future, our present and  
13 future problems in our energy transition.

14           That's it. Just wanted to lay that out there for  
15 future Code cycles.

16           MR. BOZORGCHAMI: Thank you, Luke.

17           I do want, if it's possible, to have you docket  
18 that comment to our site. It's very important for us to  
19 work on those.

20           MR. MORTON: I'll be happy to do so. And  
21 actually, I think it'll be lots of hopefully more specific  
22 thoughts and comments. And really just thinking ahead and  
23 being a part of this dialogue, of not just you guys trying  
24 to think about this, but really a collaboration of, you  
25 know, where we should be going here.

1 Great. Thank you.

2 MR. BOZORGCHAMI: Thank you.

3 I don't have any more raised hands. I don't see  
4 anyone raising their hand here in the room.

5 So Mikey, we have two comments.

6 MR. SHEWMAKER: Yeah, we have two questions from  
7 Mazi Sharaf. The first question is, why is Climate Zone 15  
8 excluded from the window U-Factor 0.27 requirement?

9 And a follow-up question to that is, is this an  
10 artifact of LSC ladder summer peaks?

11 Thank you, Mazi, for the comment. Just so I'm  
12 not responding off-the-cuff, I'd like to review that report  
13 first, but we will respond following today's presentation,  
14 and we will get a response with it.

15 And no further questions.

16 MR. BOZORGCHAMI: So folks, put the screen back  
17 up. This is my favorite slide of all day, pretty much.  
18 Submit your comments before May 13th, please. Sooner, the  
19 better. And the link to the doc is right there. Looking  
20 forward to seeing all these comments.

21 With that, we're going to take a quick 15-minute  
22 break. And when we come back, Bach Tsan, our Senior  
23 Mechanical Engineer, is going to present on the single-  
24 family residential additions and alterations. Thank you.

25 We'll be back around 11:10. Thank you.

1           (Hearing went to break at 10:53 a.m., returning  
2 at 11:09 a.m.)

3           MR. BOZORGCHAMI:  Alright.  Thank you, everyone.  
4 We're going to resume with Bach Tsan presenting on Section  
5 150.2, the additions and alterations for single-family  
6 homes.

7           With that, here we go.

8           MR. TSAN:  Alright.  Well, good morning,  
9 everyone.  My name is Bach Tsan.  I am the Senior  
10 Mechanical Engineer with the Building Standards Branch at  
11 the California Energy Commission.

12           Today I'll discuss or, you know, walk through the  
13 proposed changes for Section 150.2 of the Standards  
14 concerning additions and alterations.

15           Slide, please.

16           So let's begin with the revisions to 150.2(a),  
17 which now prioritizes heat pumps for new or replacement  
18 space heating systems in additions.  So to accommodate  
19 this, Section 150.2(a) Exception 7 has been removed or  
20 deleted to align with the heat pump baseline.  It changed  
21 from the 2020 Code, which allowed for either a heat pump or  
22 gas heating system for new or replacement space heating  
23 system serving an addition.  This prescribes heat pumps for  
24 new replacement heating systems serving additions.  It  
25 aligns the additions with newly constructed buildings, and

1 prior -- or newly constructed buildings. However, the CEC  
2 staff is considering exceptions for certain challenging  
3 scenarios such as colder Climate Zones, and locations with  
4 electrical infrastructure constraints.

5 Next slide please.

6 So in Section 150.2(a)1E we're proposing addition  
7 -- adding requirements for additions that set maximum  
8 capacity limits for space conditioning systems, and  
9 establish limits for envelope leakage assumptions used  
10 during system sizing. The maximum capacity limits depend  
11 on calculated heating design load, calculated cooling  
12 design load, and space conditioning system type.

13 Oh, sorry, give me -- alright.

14 Next slide, please.

15 So, to continue in 150.2(a)1E for space  
16 conditioning capacity limits, this states that there's no  
17 maximum capacity limits when the airflow is verified to be  
18 at least 350 CFM per ton. When the airflow isn't verified  
19 to be at least 350 CFM per ton, space conditioning systems  
20 must allow -- must follow maximum capacity limits set in  
21 Table 150.2-A for heating and Table 150.2-B for cooling.

22 Next slide, please.

23 Alright. Well, this slide shows Table 150.2-A.  
24 This is the maximum heating capacity. The table shows the  
25 maximum capacity is dependent on the system type, the

1 calculated design load, and the calculated cooling load  
2 design.

3 Next slide, please.

4 And this slide shows the Table 150.2-B for  
5 maximum cooling capacity. Again, the table shows the  
6 maximum heating -- maximum capacity is dependent on the  
7 system type, the calculated design load, and the cooling  
8 load.

9 Okay. Next slide, please.

10 So, continuing on in Section 150.2(a)1E, we are  
11 also proposing adding requirements for additions that  
12 establish limits for the envelope leakage assumptions used  
13 during the system sizing, unless the envelope leakage has  
14 been established through field verification and diagnostic  
15 testing. And so Table 150.2-C here shows the maximum  
16 envelope leakage values used in load calculations for space  
17 conditioning systems, and that have not been established  
18 through field verification. The leakage value is depending  
19 on the building type and condition floor area. And then  
20 150.2(a)2D as -- just states, all requirements in Section  
21 150.2(a)1E also apply to additions using the performance  
22 approach in Section 150.2(a)2B.

23 Slide, please.

24 So this one -- so, similarly in Section  
25 150.2(b)1A, we add an exception that would allow for

1 prescriptive alterations to comply with the maximum so  
2 solar heat gain coefficient value of 0.23 when adding  
3 vertical fenestration in Climate Zone 15. It's noted -- it  
4 should be noted that this exception would replace the  
5 previous Exception 1 in Section 150.2(b)1A. And Exception  
6 2 would be modified to include a vertical fenestration, as  
7 well as remove the relaxed U-Factor in SHGC standards.

8           Starting in 2026, prescriptive alterations that  
9 add vertical fenestration will be required to meet the U-  
10 Factor and SHGC requirement of Section 150.1(c)3A and Table  
11 150.1-A. You know, i.e. for similar for the new  
12 construction.

13           Alright. So -- sorry -- 150.2(a)1E pertains to  
14 the space conditioning load calculations and system  
15 capacity for building conditions. It defines some minimum  
16 capacity requirements that are detailed in 150.0(h)5.  
17 Additionally, it introduces the maximum capacity limits for  
18 space conditioning systems, with these limits depending on  
19 several factors: the calculated heating design load, the  
20 calculated cooling load, the cooling design load, the  
21 specific type of space conditioning system implemented, and  
22 the sizing dimensions of the ductwork. This section is  
23 also responsible for establishing envelope leakage  
24 assumptions, specifically in cases where assumptions have  
25 not yet been confirmed by the verification and testing

1 procedures.

2           Alright. Next slide.

3           We'll look at additions related to requirements  
4 for water heating. So Slide 14, this slide shows a  
5 comparison between the existing 2022 Standards and the  
6 proposed 2025 Standards for Section 120.2(a)1D regarding  
7 water heaters in building additions. Under the 2022  
8 Standards, the word "second" water heater was used, while  
9 for 2025 Standards where the language will refer to any  
10 additional water heaters, and not just the second. And so  
11 in 2022, the prescriptive water heater option includes  
12 water heater -- heat pump water heaters, gas or propane  
13 instantaneous water heaters, or an instantaneous electric  
14 water heater for small additions, in any system using no  
15 more than the energy specified. So for 2025, the 2025  
16 Standard is removing the option for gas instantaneous water  
17 heaters. The removal of this option also leads to  
18 renumbering of subsequent Sections. The proposed changes  
19 aim to align the requirements for water heat additions for  
20 those for the newly constructed buildings.

21           Next slide, please.

22           So this is for envelopes.

23           Continue on.

24           So in Section 150.2(a)1 for additions, we plan to  
25 add an exception for prescriptive additions that add

1 vertical fenestration to Climate Zone 15. This exception  
2 would allow -- there's an exception here that allows for  
3 projects to comply with the maximum SHGC 0.23 in Climate  
4 Zone 15.

5           Next slide, please.

6           So in Section 150.2(b)1B, we also plan to modify  
7 the exception Two to the Prescriptive Alterations  
8 Replacement Penetration Standard. Starting in 2026,  
9 replaced skylights will need to meet the U-Factor or no  
10 greater than .4, and an SHGC of no greater than .3. And  
11 like we did for additions and alterations where  
12 fenestration is added, we have an exception for Climate  
13 Zone 15, which would allow replaceable fenestration to  
14 comply with maximum SHGC value of .23.

15           Slide, please.

16           So for ceilings and attics, in Section  
17 150.2(b)1Jiv, we intend to modify the existing language to  
18 clarify that it is Section 806 of the California  
19 Residential Code, Title 24, Part 2.5, that is being  
20 referenced.

21           Next slide.

22           In Table 150.2(g), we're proposing to make the  
23 following edits to the performance standard design for  
24 altered component table. In the fenestration, the  
25 modification is so that the standard design without third-

1 party verification of existing conditions be based on the  
2 prescriptive standards found in Section 150.1(c)3A, and if  
3 the third-party verification is performed, the standard  
4 design would be based on existing fenestration U-Factor and  
5 SHGC values certified by the ECC-Rater.

6 And for window films, we plan to modify the table  
7 so that, again, the standard without the third-party  
8 verification be based on the prescriptive standards found  
9 in Section 150.1(c)3A.

10 Next slide, please.

11 Alright. So we'll talk about this requirement  
12 that was moved to Part 11. So we made a change from the  
13 pre-rulemaking language in relation to single-family A/C to  
14 heat pump.

15 Next slide, please.

16 So our pre-rulemaking proposal was to mandate the  
17 replacement of standard air conditioners with heat pumps in  
18 existing single-family homes. There was a pathway in the  
19 proposal to allow for continued use of standard air  
20 conditioners to pair it with additional emergency measures.  
21 However, the proposal has been shifted to Part 11 as a  
22 voluntary measure. The considerations we faced were it  
23 placed costs on residents rather than builders and  
24 developers. This also moves as a measure to align with the  
25 anticipated surge in public subsidies to support heat pump

1 installations. The proposal grants the industry  
2 professionals time to familiarize themselves with heat  
3 pumps, and initiates partnerships with heat pump  
4 manufacturers to facilitate the transition. It also serves  
5 as a framework for local governments to pave the way for  
6 better adoption.

7 So that is the -- that should be --

8 MR. BOZORGCHAMI: That's the end.

9 MR. TSAN: -- the end.

10 MR. BOZORGCHAMI: Thank you, Bach.

11 Before we go to folks on the line, is there any  
12 questions or comments here in person?

13 Good. We're going to go -- okay, we're going to  
14 go to the line.

15 And the first person, Brian Selby, go ahead and  
16 state your name and affiliation.

17 MR. SELBY: Hello. This is Brian Selby from  
18 Selby Energy Inc., also board president of CABEC,  
19 California Association of Building Energy Consultants.  
20 Last name is Selby, S-E-L-B-Y.

21 Thanks again to the Energy Commission and all the  
22 case authors who put in the time to clarify the additions  
23 and alterations sections of the Residential Single-family  
24 Code. One thing that I thought was important, since the  
25 prescriptive requirements now no longer requires or allows

1 a gas water heater, there -- Section 150.0(n), electric  
2 ready requirements for water heaters requiring the  
3 infrastructure for the future installation of heat pump  
4 water heater, applies to additions when a water heater is  
5 added to serve an addition. I think it would be  
6 particularly helpful to add some language in Section  
7 150.2(a)2 under the performance standards indicating this,  
8 that when a gas water heater is added to serve an addition,  
9 it must also meet the requirements of Section 150.0(n).  
10 There's a lot of confusion within the industry in this area  
11 among building departments, plans examiners, building  
12 inspectors, as well as energy consultants, and this  
13 language would be particularly helpful to clarify, now that  
14 some of the language regarding water heaters have changed.

15 That's it, thank you.

16 MR. BOZORGCHAMI: Brian, I'm going to have you  
17 work with Danny Tam, our water heating expert. He stepped  
18 away for a minute, so I prefer you and him directly, and do  
19 a proper job of developing language for that.

20 MR. SELBY: Awesome. Be happy to.

21 MR. BOZORGCHAMI: Thank you, sir.

22 Next we have Blake. Go ahead, state your name  
23 and affiliation and spell your last name for the record,  
24 please. Yes, thank you so much for the opportunity to  
25 comment.

1           MR. HERRSCHAFT: My name is Blake Herrschaft.  
2 That is spelled H-E-R-R-S-C-H-A-F-T. I'm the Building  
3 Electrification Programs Manager for Peninsula Clean  
4 Energy, a professional mechanical design engineer licensed  
5 in the state of California for over a decade.

6           We want to commend the Energy Commission staff  
7 for removing the instantaneous gas water heater option for  
8 additions. These are very difficult to electrify once  
9 they're installed, require significant gas demand, and do  
10 not function during power outages due to the electricity  
11 requirements on the controls and their lack of storage.  
12 They're also dangerous.

13           We agree with the CABEC comment regarding  
14 clarification on pre-wiring for additions. This can be a  
15 little confusing, but it is an important requirement.

16           With regards to existing residential HVAC  
17 systems, we recommend the Commission prescriptively require  
18 heat pump capability for new or replacement A/C systems  
19 now. We kindly ask that the state of California take the  
20 lead on building decarbonization. California currently has  
21 far and away the highest saturation of gas-fired  
22 residential equipment of any state in the United States,  
23 possibly on planet Earth. If the state is willing to take  
24 the lead on this requirement, it will drastically reduce  
25 the amount of effort our boards and city councils will need

1 to spend on Reach Codes.

2           This takes a lot of effort. I've been to over  
3 100 council meetings related to Reach Codes and expect to  
4 attend dozens more if this measure is kicked down the road  
5 to the end of the decade. These cost city staff time,  
6 council time, and endless resources.

7           Two of our member agencies have already created  
8 these requirements years ago, and are successfully  
9 implementing. Those are Portola Valley and the city of San  
10 Mateo. In the interim between the 2025 Code cycle and the  
11 next one, well over a million air conditioners will be  
12 installed in California homes without heat pump capability,  
13 stranding fossil fuel equipment in these homes into the  
14 2040s. We kindly request the CEC consider creating this  
15 prescriptive requirement today.

16           Thank you.

17           MR. BOZORGCHAMI: Thank you, Blake, for your  
18 comment.

19           Next we'll go to Meg. Go ahead, Meg. State your  
20 name and affiliation, please.

21           MS. WALTNER: Great. Hi. Meg Waltner, W-A-L-T-  
22 N-E-R, Energy 350, speaking on behalf of the Natural  
23 Resources Defense Council. Yeah, thank you very much for  
24 the opportunity to speak today.

25           I wanted to start by supporting the prescriptive

1 requirements for heat pumps and additions, as well as for  
2 heat pump water heaters, new additional heat pump water  
3 heaters serving additions. Those both will harness a key  
4 opportunity to install heat pumps in those new spaces.

5           You know, following on the comments from Blake,  
6 we were disappointed to see A/C to heat pump replacement  
7 provision move to Part 11. We think this misses a major  
8 opportunity to upgrade existing A/C systems to heat pumps  
9 at the time of equipment replacement, and urge you to  
10 reconsider the decision to put that in Part 11 versus Part  
11 6.

12           In particular, really urge you to reconsider it  
13 for the circumstance of major alterations. These  
14 alterations where you're replacing the whole system,  
15 including the ductwork and the equipment, where it's really  
16 a key opportunity to encourage the installation of a heat  
17 pump instead of that one-way A/C system and really a small  
18 incremental upgrade compared to that whole project scope  
19 and cost. And so, you know, we've obviously commented on  
20 this issue a lot and appreciate all of staff and everyone's  
21 hard work to date, but yes, we would like to urge you to  
22 reconsider that part of this proposal.

23           Thank you very much, and, yeah, I appreciate all  
24 the hard work on this.

25           MR. BOZORGCHAMI: Meg, thank you for your

1 comment. Bob is taking notes. Thank you.

2 Jonny, go ahead. I'm going to unmute you. Go  
3 ahead and state your name and affiliation.

4 MR. KOCHER: Thank you. Jonny Kocher here,  
5 that's K-O-C-H-E-R, with RMI.

6 Yeah. Largely would like to echo comments from  
7 both Blake and Meg. Do want to, you know, reiterate the  
8 positive comments I've said on the new construction,  
9 single-family baseline and nonresidential for HVAC  
10 equipment, as well as the A/C to heat pump replacement for  
11 existing commercial buildings.

12 However, I am disappointed that the CEC is moving  
13 the A/C to heat pump requirement from Part 6 to Part 11  
14 from the pre-rulemaking draft. You know, in order to hit  
15 the 2030 heat pump goals, it's going to be pretty difficult  
16 to do that if we're not going to be replacing every system  
17 opportunity as they come up. When central air  
18 conditioners, you know, break down, this is a very cost-  
19 effective opportunity for folks to actually be switching  
20 over to heat pump, and, you know, especially here in  
21 California with milder climates. When looking at the IRA  
22 tax credits, it's pretty clear that the upfront cost of a  
23 minimum efficiency air conditioner compared to a 45(c) tax  
24 credit eligible heat pump is actually, you know, about  
25 equal. So I think that's something to look into a little

1 bit more.

2 And also wanted to, you know, around operating  
3 costs with the most recent proposal through on CARE-rate  
4 customers being able to get lower fixed charge costs, I  
5 think that the electric rate concern around increased  
6 electrical rates for low-income folks is no longer a  
7 concern, which I know is something that the CEC staff was  
8 concerned about when first looking at the A/C to heat pump  
9 requirement.

10 I would encourage the CEC staff to reconsider  
11 between the 45-day language. And I would also like to, at  
12 least for these opportunities where the whole system  
13 replacement, including duct work, is happening, I agree  
14 with Meg that this is a very low-hanging fruit. and I  
15 think the incremental cost is more than worth the benefit  
16 of electrifying that whole system.

17 Thank you.

18 MR. BOZORGCHAMI: Thank you, Jonny. Thank you  
19 for your comment.

20 Marina, I'm going to unmute you. Go ahead and  
21 state your name and affiliation.

22 MS. BLANCO: Hi. My name's Marina Blanco, B-L-A-  
23 N-C-O. I'm with Gabel Energy, and I'm just going back to  
24 the comment that I had in the last section.

25 There was a lovely exception in Section 150.1

1 for, in the new construction section, when there are new  
2 dwelling units and the ease on U-Factor in certain climate  
3 zones for fenestration. I just wanted to make sure that  
4 new dwelling units that are considered additions, and  
5 alterations as well, are given that exception or -- as it  
6 is not explicitly written into those sections. Or are the  
7 additions and alterations sections written in such a way  
8 that that exception could also be applicable to new ADUs  
9 that are considered additions?

10 MR. BOZORGCHAMI: I'm going to take this one real  
11 quick, Marina. I think you and I need to discuss this  
12 separately.

13 I think what I need to do is work on the  
14 language, make it a little bit more clear. But the  
15 intention was not to provide a confusion there. So let me  
16 work with you on that. We'll get the language right.

17 MS. BLANCO: Great. Thank you so much.

18 MR. BOZORGCHAMI: You're welcome. If not me,  
19 Mikey Shewmaker would be more than happy to also.

20 MS. BLANCO: Thank you.

21 MR. BOZORGCHAMI: Anybody else would like to make  
22 a comment?

23 If not, we're going to go to the Q&A. I don't  
24 think we're going to have time before lunch to hear  
25 Anushka's presentation, so we'll probably take a lunch

1 break.

2 But Mikey, for now?

3 MR. SHEWMAKER: Yeah. We have one open question  
4 from Derek Daniels: can somebody replace their existing gas  
5 water heater like for like, or do they need to upgrade to  
6 heat pump water heater?

7 MR. TAM: Danny Tam, CEC staff. Yes. If your  
8 existing water hear is gas, you can replace it with gas.  
9 Yes.

10 MR. SHEWMAKER: Thank you. No further questions.

11 MR. BOZORGCHAMI: I'm going to come back to the  
12 folks in the room.

13 Raised hands? Comments, questions? Jon,  
14 nothing? So we'll go to the attendees.

15 I don't see any more raised hands.

16 So with that, let's take a lunch break. How  
17 about let's reconvene about 12:40, if that's okay? I don't  
18 see any objections, so, Commissioner, if it's okay, we'll  
19 reconvene at -- let's make it 12:45, then, for --

20 COMMISSIONER MCALLISTER: Okay.

21 MR. BOZORGCHAMI: Okay. So we'll reconvene at  
22 12:45.

23 Thank you.

24 (Hearing went to lunch break at 11:34 a.m.,  
25 returning at 12:45 p.m.)

1           MR. BOZORGCHAMI: Okay everyone, we're back from  
2 lunch. I hope everybody had a nice hour break. We're  
3 going to reconvene, and we're going to resume our hearing.

4           We're going to be hearing Anushka Raut, our air  
5 pollution specialist, who will be presenting on the  
6 multifamily mandatory measures. This is Section 160 of the  
7 energy standards.

8           Anushka?

9           MS. RAUT: Thank you, Payam.

10          Good afternoon, everyone. Thank you for taking  
11 the time and joining in today. My name is Anushka Raut. I  
12 am an Air Pollution Specialist staff in the Standards  
13 Development Unit, and I shall be leading this presentation  
14 today on the proposed changes to the Section 160.0 to 160.9  
15 on multifamily mandatory measures.

16          Next slide, please.

17          So to begin with, in Section 160.1(b) for  
18 mandatory wall insulation and building envelope  
19 requirements, we are proposing to reduce the mandatory  
20 maximum wall insulation U-Factor requirement. These  
21 changes would include for metal framing, the overall  
22 assembly should not have a U-Factor exceeding a U-Factor of  
23 .148. For two by four framing, the overall assembly should  
24 not have a U-Factor exceeding a U-Factor of .095, which is  
25 equivalent to R-15 cavity insulation in a two by four wood

1 frame assembly. For two by six or greater framing, the  
2 overall assembly should not have a U-Factor exceeding a U-  
3 Factor of .069, which is equivalent to R-21 cavity  
4 insulation in a 2 by 6 wood frame assembly

5 Next slide, please.

6 Next, there has been an addition of Section  
7 160.1(g) for building envelope requirements on slab edge  
8 insulation. That includes mandatory insulation criteria to  
9 identify minimum insulation criteria when slab edge  
10 insulation is installed. This language is new to the  
11 multifamily section for the 2025 Cycle, but the  
12 requirements are identical to those already applicable to  
13 the single-family buildings, and found in Section 150.0(f)  
14 of the Energy Code. The minimum specifications that are  
15 added in this section include water absorption rate, water  
16 vapor permeance, physical and UV damage protection  
17 requirements, and a reference to the heated slab insulation  
18 requirements of Section 110.8(g) to ensure consistency  
19 across both sections.

20 Next slide, please. Okay.

21 Further, in Section 160.2, mandatory requirements  
22 for ventilation and indoor air quality, or IQ, we revised  
23 the language in subsection 160.2(b)2Aivb, whole-dwelling  
24 unit mechanical ventilation requirements. These changes  
25 include new construction multifamily dwelling units shall

1 have balanced or supply-only ventilation as the whole-  
2 dwelling unit ventilation mechanic currently used as  
3 strategy, and the compartmentalization at the maximum level  
4 of .3 CFM at 50 pascals per square foot of dwelling unit  
5 enclosure area.

6 Next slide, please.

7 In subsection 160.2(b)2Avi, mandatory  
8 requirements for balanced and supply ventilation component  
9 accessibility for dwelling units, there has been an  
10 addition of two subsections, 160.2(b)Axia and subsection  
11 160.2(b)2Axib. In subsection 160.2(b)Axia, IQ filter and  
12 heat energy recovery ventilation system, or HRV/ERV  
13 accessibility, we added language for accessibility  
14 requirements for IQ system components such as filters and  
15 heat and/or energy recovery codes for replacement and  
16 maintenance. Additionally, we added an exception to  
17 subsection 160.2(b)Axie, to help specify accessibility  
18 requirements for systems that require servicing from the  
19 inside of an attic. In subsection 160.2(b)2Axib, IQ system  
20 component accessibility, we added language to include other  
21 IQ system components, including fans, motors, heat  
22 exchangers, and other serviceable components to be included  
23 to be required to meet the applicable requirements of the  
24 California mechanical Code 304.0.

25 Next slide, please.

1           Next in Section 160.2(c)2, mandatory requirements  
2 for natural ventilation in common use areas, there are no  
3 changes to the natural ventilation requirements, but we  
4 have made changes -- we have made some changes to update  
5 the ASHRAE references, similarly used in ASHRAE 62.1-2022,  
6 and moved some of the requirements around to make them more  
7 explicit, such as mechanical ventilation requirements.

8           Next slide, please.

9           In Section 160.2(c)3, mandatory requirements for  
10 mechanical ventilation in common use areas, mechanical  
11 ventilation requirements are not changing, but we are  
12 changing the language to be more clear by implementing the  
13 Area versus Person Ventilation Rate. Further on in Table  
14 160.2-B, we have made changes to the table to include the  
15 Area-based Rates and Occupant Load Densities for Area  
16 versus Person method. These values were back-calculated  
17 from 2016 ventilation tables, and should not change the  
18 ventilation rates.

19           Next slide, please.

20           In Section 160.2(c)5E, Occupied - Standby Zone  
21 Controls, occupant zone controls have been rewritten to  
22 make the requirements clearer to understand. The next  
23 change is we are moving Table 160.2-A as this table is not  
24 used in multifamily sections, and was just copied over  
25 during the migration of the multifamily Sections during the

1 last Code cycle. We further updated the Table 160.2-D to  
2 include one new air stream source, source rate, and we  
3 revised this table to be in line with the reference -- to  
4 be in line with the references of ASHRASE 62.1 table of the  
5 2022 year version.

6 Next slide, please.

7 In Section 160.4, mandatory requirements for  
8 water heating systems units, the heat pump water heater  
9 ready requirement in Section 160.4(e) has been moved to  
10 Section 160.9(e) with the other electric ready  
11 requirements. This reorganization was done for clarity.  
12 In Section 160.4(e)1, after the renumbering, the mandatory  
13 pipe insulation requirements now include a comprehensive  
14 list of piping components that requires pipe insulation.  
15 These changes provide clarity to the design and the  
16 insulation industry to ensure uniform pipe insulation of  
17 the heating plant, recirculation loop, and branches to the  
18 dwelling units.

19 In Section 160.4(e)2, we added alternative pipe  
20 insulation thickness requirements for conductivity outside  
21 the range of Table 160.4-A. This is done to match the  
22 similar requirements in Section 120.3.

23 Next slide, please.

24 So continuing with the mandatory requirements for  
25 heating systems and units, exception to Section 160.4(f)1

1 has been deleted because pipe insulation requirements for  
2 space conditioning is currently covered under Section  
3 160.3(c)1, and this exception is redundant. We added  
4 reference to pipe appurtenance in Section 160.4(e)3 to  
5 clarify that insulation protection is also applicable to  
6 piping appurtenance.

7 In Section 160.4(e)4, we added a new mandatory  
8 requirement for field verification of insulation quality.  
9 This is accompanied by a new referenced section, RA3.6.3,  
10 that specifies the field verification process -- procedure,  
11 sorry.

12 Next slide, please.

13 In Section 160.9, which is the mandatory  
14 requirement for electric ready requirements in buildings,  
15 we added a new Section, 160.9(a), that includes general  
16 requirements applicable to all electric ready requirements.  
17 This new requirement ensures buildings' electrical systems  
18 have sufficient capacity. Subsequent sections in Section  
19 160.9 have been renumbered.

20 In Section 160.9(d)2A, the sizing requirements  
21 for clothes dryer has been removed because the new Section  
22 160.9(a) already covers the requirement.

23 Next slide, please.

24 In Section 160.9(e), these are the requirements  
25 that were moved from Section 160.4. Additionally, there

1 are new ventilation and designated space requirement for  
2 future location of heat pump water heater. The conductor  
3 size requirement has also been changed from 10 wire gates  
4 to a rated 30 amps minimum.

5           Continuing with the mandatory requirements for  
6 electric ready buildings, we added a new Section 160.9(f)  
7 for central heat pump water heater ready. These  
8 requirements ensure the building is prepared for future  
9 installation of central heat pump water heaters. This  
10 includes spaces that are reserved for the heat pump,  
11 storage tank, condensate drain, and the electric bus.

12           Next slide, please.

13           To support the new central heat pump water heater  
14 ready requirement, we added a new Koint Appendix, JA15,  
15 which describes the qualification requirements for central  
16 heat pump water heater ready in more detail.

17           And with this slide, I conclude my presentation.  
18 Thank you for listening and feel free to chime in for  
19 questions or comments.

20           MR. BOZORGCHAMI: Thank you, Anushka.

21           Any comments in the room? Raise your hand.

22           We'll go to the phones right now.

23           And I have Karen, I'm going to unmute you. Go  
24 ahead and state your name and affiliation, please. And  
25 spell your last name for the record. Thank you.

1           And you need to unmute yourself from your end.

2           MS. BRAGG: Hi. I'm sorry. That was a mistake.

3 I did not mean to raise my hand.

4           Thank you.

5           MR. BOZORGCHAMI: No worries. Thank you. No  
6 worries. We do it all the time.

7           Brian, I'm going to unmute you. Go ahead and  
8 state your name and affiliation, please.

9           MR. SELBY: Thank you. Brian Selby from Selby  
10 Energy, Inc., and the California Association of Building  
11 Energy Consultants. Last name is Selby, S-E-L-B-Y.

12           I just want to thank the Commission and the  
13 multifamily restructuring case team for the cleanup to the  
14 multifamily section of the Code. By and large, I agree  
15 with most of the additions to this section. There were a  
16 couple that were concerning to me. Section 160.1(b)2,  
17 metal frame walls shall not exceed a .148 U-Factor.

18           This particular measure, if you were to go to  
19 table JA4.3.4 -- or 4.3.3, regardless --there are no metal  
20 wall framing assemblies that meet that .048 U-Factor  
21 without adding rigid continuous insulation. This is a  
22 particular concern. In many cases, those mandatory  
23 requirements are not governed by the performance approach,  
24 meaning that somebody could demonstrate compliance without  
25 meeting the mandatory requirements, and it's often not

1 caught by the plans examiner or the building inspector,  
2 losing out on the savings there. And we completely  
3 understand that those savings are important on especially  
4 on metal frame walls, but having a requirement that only  
5 requires rigid insulation or compliance on metal framing  
6 for multifamily creates a confusion in the industry,  
7 especially when you're dealing with a mixed use building.

8           Of particular concern, this requirement also  
9 applies to additions. And although there are allowances  
10 for wood frame construction to extend an existing wood  
11 frame wall to match the same thickness of the existing  
12 wall, there are no provisions in the additions Section  
13 180.1(a)1A, that allows the same consideration for  
14 extending a metal frame wall. We think this is of  
15 particular importance for additions.

16           Go ahead.

17           MR. BOZORGCHAMI: Brian, I'm going to have to  
18 stop you here and have you maybe submit your comments as a  
19 docket. But let me -- in general, provisions in the  
20 mandatory requirement for metal framing is based on a U-  
21 Factor. And with U-Factor, one of the options is to do the  
22 continuous insulation. There are other ways you could do  
23 that. We could do it with a high-density spray foam. You  
24 could do it -- actually, you could do a double wall system.  
25 And I see what you're saying. Let me --

1 MR. SELBY: In an addition scenario, when the  
2 project design does not allow for that additional thickness  
3 or offset of the exterior or interior surface, I think it's  
4 a particular concern, and unlikely to get caught during a  
5 plan check or building inspection. I think that there's,  
6 you know, some room for some allowance in this area. I  
7 completely understand that those metal frame walls are much  
8 worse than a wood frame wall, but this has a high potential  
9 for complaints.

10 MR. BOZORGCHAMI: I understand.

11 One of the issues is that the multifamily we're  
12 going into, as we're more and more getting into the  
13 multifamily industry of construction, we're going to see a  
14 lot more metal framing and, you all know, metal is a  
15 conductor, and --

16 MR. SELBY: Understood.

17 MR. BOZORGCHAMI: -- as much insulation as you  
18 put in the cavity, it really doesn't affect the conduction  
19 through that metal, so we have to somehow block that -- we  
20 have to break that bridge somehow. This was -- the intent  
21 was to do that with the continuous insulation.

22 MR. SELBY: Yeah. Understood. Understood.

23 Because it only applies to multifamily, and not  
24 also non-res, it just makes it confusing for the industry,  
25 as well as having those situations where you have a

1 mismatch in the wall thickness. You know, at the very  
2 least an exception very similar to those in the -- for wood  
3 frame construction. So I think this has a high probability  
4 of non-compliance, and rather than having none of the walls  
5 meet this U-Factor, at least give consideration for at  
6 least a wall extension not to be required to meet this, and  
7 then the rest of the walls will. So --

8 MR. BOZORGCHAMI: Okay.

9 MR. SELBY: -- of concern.

10 MR. BOZORGCHAMI: We'll look into -- I'll look  
11 into that.

12 MR. SELBY: Okay. I did have one more item.  
13 I'll raise my hand again when there's --

14 MR. BOZORGCHAMI: Actually, go ahead and -- what  
15 is the other item?

16 MR. SELBY: The other item is the verified pipe  
17 insulation, 160.4(e)4, requiring pipe insulation to be  
18 HERS-verified. To date, there is no precedence of that  
19 being a mandatory requirement. I think this is of  
20 particular concern when this measure -- or the inspection  
21 by the third-party verifier isn't called. This project,  
22 you know, closed, trying to get a permit, and there are no  
23 provisions for this verification to be made after the fact.  
24 This happens quite often, and I think that requiring the  
25 pipe insulation to be HERS-verified is a bit far-reaching

1 and optimistic to execute consistently in the field.

2 MR. BOZORGCHAMI: Okay. Thank you, Brian.

3 Could you put those in writing and submit it to  
4 us, so we'll (indiscernible) list?

5 MR. SELBY: Yep. I'd be happy to.

6 MR. BOZORGCHAMI: And the sooner the better, so  
7 we can get an eye on it. Thank you.

8 MR. SELBY: You're welcome. Thank you.

9 MR. BOZORGCHAMI: Next, Carol. Go ahead and  
10 state your name and affiliation, please.

11 MS. ROBERTS: Hi. Carol Roberts, g.r.e.g.  
12 Consulting. It's R-O-B-E-R-T-S.

13 Brian, to two of your points, for 160.1, the .148  
14 metal frame wall, U-Factor mandatory minimum. It's  
15 difficult. The best thing we've come as close to that in  
16 assembly values is two layers of 5.8 drywall on the inside.  
17 R-21 in the, it has to be five-and-a-half-inch frame metal  
18 wall, and one inch of dense glass, and seven-eighths inch  
19 styrofoam.

20 MR. BOZORGCHAMI: Carol, I apologize. Can you  
21 speak up a little bit?

22 MS. ROBERTS: Oh, sure. Sorry.

23 MR. BOZORGCHAMI: We're having a hard time.

24 MS. ROBERTS: Can you hear me now? Can you hear  
25 me any better now?

1 MR. BOZORGCHAMI: Yeah. Thank you.

2 MS. ROBERTS: Okay. Sorry.

3 In order to hit a .147, we have to have two  
4 layers of five-eighths drywall on the interior -- which  
5 would be a 2-R fire, you know, assembly -- R-21 bat  
6 insulation, one inch of dense glass or similar product, and  
7 seven-eighths inch of stucco exterior. We do this on the  
8 lower levels where we have, you know, mid-rise projects  
9 that have metal frame underneath or in the podium. You  
10 know, it all depends on the construction, if we have wood  
11 frame above or not.

12 But to your point, Brian, without that one inch  
13 of rigid foam, we're not going to hit .148. It's going to  
14 be really tough. So just noted to that, you know, comment  
15 there.

16 And then to your other comment, Brian, regarding  
17 domestic hot water pipe insulation, that is a special trip.  
18 We have that -- we take that credit in the modeling only on  
19 projects where we know we have LEED certification involved,  
20 because for most of the required HERS testing on a high-  
21 rise multifamily, we do not really have to be there in the  
22 rough stage, so we would only be there to --

23 MR. BOZORGCHAMI: Carol, I'm sorry. Your comment  
24 is going off, I can't hear you.

25 MS. ROBERTS: I'm so sorry. I'll try again.

1 MR. BOZORGCHAMI: I'm going to have to --

2 MS. ROBERTS: Yeah?

3 MR. BOZORGCHAMI: -- say, if you could submit  
4 your comments in writing.

5 MS. ROBERTS: Okay.

6 MR. BOZORGCHAMI: I apologize, I just can't hear  
7 you.

8 MS. ROBERTS: Can we try one other comment?

9 MR. BOZORGCHAMI: Sure.

10 MS. ROBERTS: To give it a shot?

11 160.9(f) regarding electric ready at the central  
12 boiler system. I noted from Tuesday's meetings that you  
13 had real specific requirements coming in around the  
14 ventilation for heat pump water systems -- you know, boiler  
15 systems. This electric ready at the central boiler, have  
16 all of those things been considered and covered in JA15?  
17 Because it's more than just space.

18 MR. BOZORGCHAMI: We're going to have to get back  
19 to you.

20 MS. ROBERTS: Okay.

21 MR. BOZORGCHAMI: Danny's going to look at the  
22 language and get back to you.

23 MS. ROBERTS: It involves transformers. It  
24 involves ventilation. A lot of these are not on the roof.  
25 There's a lot more to it than just power and space --

1 MR. BOZORGCHAMI: Okay.

2 MS. ROBERTS: -- to be electric ready at that  
3 location.

4 MR. BOZORGCHAMI: Okay. Yeah. I think Danny  
5 will get back to you. Danny Tam. He's going to look at  
6 the language one more time.

7 MS. ROBERTS: Okay. Appreciate it. Thank you.

8 MR. BOZORGCHAMI: Thank you. Thank you

9 Kurt, I'm going to unmute you. Go ahead and  
10 state your name and affiliation, please.

11 MR. HURLEY: Oh. Thank you. My name is Kurt  
12 Hurley. I'm with the City of Berkeley. I'm the Green  
13 Building Sustainability Manager. Spelling of my last name,  
14 H-U-R-L-E-Y.

15 Thank you for the updates on the multifamily  
16 mandatory. My comment is brief. A suggestion to consider,  
17 particularly in California climate zones that have extreme,  
18 you know, heating -- cooling degree day-driven energy  
19 budgets, to consider a mandatory exterior finish, say, for  
20 instance, aged solar reflectance, so that there is a  
21 reduced load to our State's peak load from cooling because  
22 the building itself can reject shortwave infrared, and the  
23 cooling will be, you know, internal gains. Climate Zone 16  
24 comes to mind, but you guys are the experts.

25 That's my comment. Thank you.

1 MR. BOZORGCHAMI: Thanks for the comment, Kurt.  
2 Hassan, I'm going to unmute you. Go ahead and  
3 state your name and affiliation.

4 MR. FAWAZ: Hi there. My name is Hassan Fawaz,  
5 F-A-W-A-Z, and I work with Green MEP for Mechanical and  
6 Energy.

7 First of all, we want to thank you for your  
8 transparency in letting us see these Code sections ahead of  
9 time. It's something I would like to also see encouraged  
10 for any UMC-related Code sections for the state.

11 The second thing I want to talk about is mostly -  
12 - I believe exhaust-only is now being taken out of the  
13 multifamily as an ability to go with that route, and now  
14 it's going to only be supply and balanced only. I  
15 apologize if you haven't talked about it just yet. I  
16 joined in a few minutes late after the lunch meeting.

17 So one of the things I want to bring up is while  
18 we understand this being very reasonable, and we can  
19 definitely see this being no issue for most part of our  
20 single-family, I do think we have to be a little more  
21 careful when it comes to multifamily as there are times  
22 where you really can only go with exhaust-only as a  
23 determination, as you can't do exhaust -- supply only if  
24 there is a bathroom or kitchen. And then what we also have  
25 to keep in mind is, especially when I look at many modular

1 buildings, a lot of them are made to be smaller, compact,  
2 whether that's for low-income, et cetera, and those might  
3 not even have a full 10 width from wall to wall. And  
4 because we need three feet separation of exhaust from any  
5 openings, and 10 feet of separation from outside air, it  
6 may not always be feasible. And the thing about modular  
7 buildings, anything such that you're not always able to go  
8 to the roof with the exhaust, they will have to be stuck  
9 into each modular pod. And if you're constantly putting  
10 each one by each other, and there's no room in corridors --  
11 if there is a corridor -- there's not much you can do in  
12 that situation. And we will not likely be able to use  
13 ASHRAE 62.1 modifications for cities like LA anymore as  
14 time goes. We do hope that we can see some type of more  
15 wiggle room for this, as it might not always be easy to  
16 build under mechanicals for this reason.

17           That was mainly my first point. And then the  
18 second point would just be about the same with the metal  
19 framing walls. We work with many big architects and  
20 contracting teams that are -- many times they do get back  
21 to us on multifamily saying, hey, look, we have a very  
22 large building, it's just not feasible to install rigid on  
23 both sides of this.

24           Those are my main points. Thank you.

25           MR. BOZORGCHAMI: Thank you, Hassan.

1 Carol, you have your hand raised. I'm going to  
2 unmute you. Go ahead and state your name and affiliation  
3 one more time.

4 MS. BRAGG: Apologies. I left it up.

5 MR. BOZORGCHAMI: Oh. No worries. I lowered it.  
6 Thank you.

7 Marina, I'm going to unmute you. Go ahead and  
8 state your name and affiliation, please.

9 MS. BLANCO: Hi. My name is Marina Blanco, B-L-  
10 A-N-C-O, With Gabel Energy.

11 And again, thank you very much for all the work  
12 you did on multifamily. I know last -- you know, a lot of  
13 the cleanup is great. Really great to see it moving in  
14 that direction. But I do want to echo some concerns with  
15 the metal wall mandatory U-Factor dropping. As many have  
16 stated, this can be a challenge, especially in projects --  
17 mid-rise podium -- where the plane of the wall continues  
18 from below the podium to above. And so now our wall  
19 thickness at our lower levels can be different, and it can  
20 be quite a challenge to meet our waterproofing requirements  
21 from lower levels to upper, where we're continuing to wood.  
22 And this, even if we include it in the model, putting it in  
23 that rigid insulation, nine times out of 10, as they come  
24 to construction and realizing the feasibility of it, it's  
25 the first thing they ask for, as it's going to be

1 increasingly difficult to meet the waterproofing  
2 requirements. Totally understand the need for energy  
3 efficiency, but trying to be consistent where there are  
4 different wall types on a project can really hinder, and I  
5 do see this as potentially a place for noncompliance for  
6 these projects when building inspectors are out in the  
7 field.

8           And second comment I would like to make is, there  
9 are some jurisdictions that it can be a hard time when  
10 we're sizing our transformers for central heat pump water  
11 heating, but they're still installing gas, so that being  
12 electric ready with our gas systems. And I just want to  
13 make sure that there is an appropriate pathway if local  
14 utilities, local jurisdictions are not allowing or are  
15 making it almost impossible to be putting in that extra  
16 transformer for future load, and what those considerations  
17 might be, what kind of pathway they would need to go  
18 forward if they do need to meet those electric grid  
19 requirements. But again, that utility interaction can be  
20 challenging.

21           Thank you.

22           MR. BOZORGCHAMI: Thank you, Marina. I think  
23 Javier has a question for you.

24           MR. PEREZ: Hi Marina. Really quickly, I think  
25 Brian's suggestion was to try to match the wall extension,

1 and general strategies that we have for single-family,  
2 where we allow thickness to match the existing frame so  
3 that those amounts and different challenges can be  
4 accommodated.

5 But I guess my question to you is, do you have  
6 any feedback related to what Brian has suggested for that  
7 solution?

8 MS. BLANCO: I think that's a great add. It does  
9 come up quite a bit.

10 I know that in response to Brian's comment, we're  
11 talking about adding spray foam insulation to show  
12 compliance with the energy model. We're talking about  
13 staggered stud. Absolutely. We encourage builders to do  
14 that. However, that is not currently available as a  
15 pathway when modeling within the performance software. So  
16 documenting this and being able to prove they're still  
17 meeting these requirements can get challenging.

18 So, sorry, Javier, going off on a side tangent.  
19 But so, to your point, yes, I would love a wall extension  
20 for metal walls. There's existing construction, we do not  
21 want to impede the existing infrastructure from being able  
22 to maintain an update, and I think that would be a great  
23 add. And then for that U-Factor, you know, if we can get  
24 it in the software, and be able to prove it with our  
25 alternative building pathways, not just framing and rigid,

1 we might see more viability for this U-Factor.

2 MR. PEREZ: Okay. Thanks for the additional  
3 feedback, Marina. Really appreciate it.

4 MR. BOZORGCHAMI: Thank you, Marina.

5 Any more comments?

6 We have one written comment. Go ahead.

7 MR. SHEWMAKER: Yes. We have one open comment  
8 from Gina Griffiths Rodda: will the HERS verified hot water  
9 distribution requirements apply to additions and  
10 alterations?

11 MR. BOZORGCHAMI: Danny's going to respond to  
12 that right now.

13 MR. TAM: Danny Tam, CEC staff. The intent is  
14 for newly installed piping to meet this requirement. So we  
15 plan to make some edits and to address that.

16 In addition, I wanted to address the earlier  
17 comment about central heat pump water heater with  
18 ventilation. So, ventilation requirement is there that  
19 require either the refrigerator heat pump to be outside or  
20 there are certain requirements for reserve supply ductwork  
21 -- supply exhaust ductwork. And inside JA15, it goes into  
22 more detail about CFM requirements and extra jobs.

23 So, I encourage you to review this language and  
24 submit any comments to us.

25 MR. BOZORGCHAMI: Thank you, Danny.

1 More Mikey? Or that's it?

2 MR. SHEWMAKER: Just one follow-up comment from  
3 Gina, asking to please make it clear in the additions and  
4 alterations section that it does not apply.

5 MR. BOZORGCHAMI: We could probably do some  
6 language adjustments. We'll look into it.

7 MR. SHEWMAKER: No further questions.

8 MR. BOZORGCHAMI: Thank you, Michael. Thank you,  
9 Gina. Don't see any more comments or questions coming in.

10 So, like I brought this slide up before, please  
11 submit your comments in writing. If we missed it today,  
12 we'll try to capture it as best we can. Sooner the better  
13 than May 13th, but May 13th is the drop date, final call.  
14 Thank you.

15 So next, we're going to go to Javier Perez. has  
16 been presenting on the prescriptive requirements of the  
17 multifamily newly constructed buildings.

18 MR. PEREZ: Thanks, Payam.

19 Again, my name is Javier Perez, and for this  
20 segment, I'll be covering the proposed changes in  
21 prescriptive performance requirements specific only to  
22 multifamily buildings found in Sections 170.0 through  
23 170.2.

24 Alright. So let's start with the performance  
25 language updates. Language in Section 170.1(a) was updated

1 to reflect terminology changes consistent throughout the  
2 2025 Energy Code. This includes updated language  
3 describing Long-term System Costs and Source Energy as the  
4 two metrics used for determining compliance for newly  
5 constructed buildings. And as part of these updates,  
6 language related to Time Dependent Valuation, or TDV, was  
7 also removed.

8 Next slide.

9 To field verification and compliance credits, for  
10 projects where a compliance credit is taken for thermal  
11 balancing valves, verification criteria was added, and two  
12 compliance credits previously limited to multifamily  
13 buildings with three or fewer habitable stories were  
14 expanded to multifamily buildings of any story. And this  
15 includes low leakage air handling units and variable  
16 capacity heat pumps. And as part of the overall effort to  
17 simplify our Code compliance credit language related to  
18 whole house fans, central fan ventilation cooling systems,  
19 and pre-cooling have been removed. These measures were  
20 found to be uncommon in most cases and not applicable to  
21 multifamily buildings.

22 Next slide.

23 Next are the updates to the envelope requirements  
24 for newly constructed multifamily buildings. And in  
25 Section 170.2(a), under the multifamily prescriptive

1 fenestration requirements, we're proposing to modify  
2 Exception 4 to the prescriptive fenestration visible  
3 transmittance standard. In modifying this exception, our  
4 intent is to remove the demarcation between low-rise  
5 multifamily buildings, three habitable stories or less, and  
6 high-rise multifamily buildings that are three, four, or  
7 more habitable stories. As proposed, Exception 4 would  
8 apply to all multifamily buildings. And we've also refined  
9 the minimum visible transmittance, or VT, requirements to  
10 be applicable only to fenestration areas that serve common  
11 areas. This dials in the VT requirement of spaces that are  
12 subject to daylighting requirements of our Code, and that  
13 could benefit from higher visible transmittance.

14           Next slide.

15           Continuing with fenestration, we're proposing to  
16 make the following changes to Table 170.2-A. And for all  
17 three fenestration categories, we're proposing to remove  
18 the demarcation between low-rise and high-rise multifamily  
19 buildings. As proposed, all multifamily buildings,  
20 regardless of number of stories, will comply with the same  
21 standard. For curtain wall or storefront fenestration,  
22 that means a maximum relative solar heat gain coefficient,  
23 or RSHGC, of 0.26 in Climate Zones 2, 4, and 6 through 15.  
24 For NAFS architectural windows, this means a maximum RSHGC  
25 of 0.24, and Climate Zones 2, 4, and 6 through 15, and then

1 for all other fenestration, that means a maximum RSHGC  
2 value of 0.23 in Climate Zones 2, 4, and 6 through 15.

3 One thing to note is that the proposed -- is that  
4 as proposed, there will be no maximum relative solar heat  
5 gain coefficient requirement for high-rise multifamily  
6 buildings in Climate Zones 1, 3, 5, and 16. Buildings in  
7 these Climate Zones could benefit from a higher relative  
8 solar heat gain coefficient, which could help reduce space  
9 heating loads, which is a predominant energy use in that  
10 climate zone.

11 Now, for curtain wall or storefront windows, and  
12 for NEFS architectural windows, we're proposing to update  
13 the VT performance -- or the VT standards. As discussed in  
14 the previous slide, we're proposing to remove the VT  
15 requirements for dwelling units and high-rise multifamily  
16 buildings, and apply them to only common use areas. For a  
17 curtain wall and storefront, this means a maximum visible  
18 transmittance of 0.46 in all climate zones. And for NAFS  
19 architectural windows, this means a maximum VT of 0.37.

20 Next slide.

21 Similarly, in Section 170.2(a)5B, we're proposing  
22 to remove the demarcation between low-rise multifamily  
23 buildings and high-rise multifamily buildings for slab  
24 perimeter insulation. This means that starting in 2026,  
25 all multifamily buildings in Climate Zone 16 that utilize

1 slab-on-grade construction shall have some level of slab  
2 perimeter insulation, which must be 16 inches in depth, or  
3 to the depth of the footing of the building, whichever is  
4 less. And similar to single-family buildings, we're  
5 proposing to correct the thermal conductivity units by  
6 which the requirement is expressed. Where previously the  
7 requirement was expressed in terms of U-Factor, we're now  
8 proposing to use F-Factor, which is more accurate to use  
9 for slab floors.

10 For reference, a U-Factor assumes that there is  
11 air on either side of an assembly, whereas F-Factor assumes  
12 that one side of the assembly is in contact with air.

13 Next slide, please.

14 In Table 170.2-A, we're proposing to make the  
15 following changes to the roofing product requirements. For  
16 steep slope roofs, high-performance attics utilizing Option  
17 B, we're proposing to increase the aged solar reflectance  
18 to 0.25 in Climate Zones 10, 11, 13, and 15. This in turn  
19 will raise the calculated solar reflectance index to 23,  
20 and all other climate zones will remain at their current  
21 levels. For low-sloped roofs, high-performance attics  
22 utilizing option D, we're proposing to extend the current  
23 prescriptive roofing product requirements to Climate Zones  
24 2, 4, 6 through 8, and 12. Those standards include an aged  
25 solar reflectance of 0.63, thermal emittance of 0.75, or an

1 SRI of 75.

2 Next slide, please.

3 Alright. Moving on to the prescriptive  
4 requirements for ventilation updates.

5 In Section 170.2(c), prescriptive requirements  
6 for balanced ventilation systems for HRE and ERV systems,  
7 we're revising the prescriptive language such that new  
8 construction -- or newly constructed multifamily buildings  
9 in Climate Zones 1, 2, 4, 11 through 14, and 16 must use  
10 balanced ventilation systems with HRV or ERV systems.

11 Other changes to this Section include an involved language  
12 revision specifically to revise -- specific to revising  
13 cost-effective climate zones. In Section 170.2(c)3Bv,  
14 dwelling unit ventilation prescriptive requirements, we  
15 added language for dwelling unit ventilation requirements  
16 requiring all HRV or ERV systems that serve individual  
17 dwelling units to have a fault indicator display. It's  
18 field-verified, as specified in joint appendix JA17.

19 As part of that reference to JA17, we're adding a  
20 new section to the reference appendices. This includes  
21 qualification requirements for indoor quality system fault  
22 indicator displays, or FIDs. JA17 includes subsections  
23 elaborating on the introduction, fault indication  
24 categories, fault indication means, instrumentation, and  
25 reporting and manufacturer certification requirements.

1           Next slide.

2           In referenced residential Appendix RA3.8.3, in  
3 addition to the existing one-point air tightness tests,  
4 we're adding language to also allow multi-point air tests  
5 for conducting the enclosure leakage test following the  
6 RESNET 380 Section 4.4.2. In RA 3.8.4, determination of  
7 test results, there was an editorial change to add the word  
8 "if" to clarify if the leakage airflow test at CFM 50 was  
9 determined by one point air tightness tests specified in  
10 RESNET 380 Section 4.4.1.

11           Next slide, please.

12           Now, for consistency, the same updates that were  
13 made for RA3, as discussed in the previous slide, were made  
14 to RA2.

15           Alright. Moving on to the multifamily  
16 prescriptive water heating updates in Section 170.2(d), to  
17 improve clarity of these requirements, the water heating  
18 recirculation system requirements have been reorganized and  
19 separated into individual dwelling systems in Section (d)1  
20 and central systems in (d)2. In Section 170.2(d)1,  
21 individual water heating systems, Option C for gas  
22 instantaneous water heaters has been removed. In parallel,  
23 we added Exception 1 to allow gas instantaneous water  
24 heaters in high-rise multifamily buildings. The result of  
25 this change is that low-rise multifamily buildings with

1 individual water heating systems serving individual  
2 dwelling units are prescriptively required to be a heat  
3 pump water heater. Now, as with all prescriptive  
4 requirements, this prescriptive heat pump water heating  
5 requirement is not mandatory. Where one would prefer to  
6 install a gas water heater, this can always be done,  
7 demonstrating compliance with the performance approach.

8           We also added a new exception for 120-volt heat  
9 pump water heaters for dwelling units with one bedroom or  
10 less. This aligns with the existing 120-volt exception for  
11 newly constructed single-family buildings.

12           Next.

13           Moving on to central water heating system. When  
14 one selects to design a building with a central heat pump  
15 water heater, the prescriptive requirements for central  
16 heat pump water heaters has been updated. A new  
17 alternative path has been added for systems that are  
18 certified to NEEA advanced water heater specifications for  
19 commercial heat pump water heaters of level Tier 2 or  
20 higher. And we also modified the existing requirements for  
21 clarity. Prescriptively, the primary heat pump is required  
22 to be a single-pass system, and we removed the existing  
23 storage tank plumbing configuration requirement to allow  
24 design flexibility. As a note, multi-pass systems can  
25 still comply using the performance compliance approach, or

1 by using a new Tier 2 or higher water heating system. The  
2 central system recirculation language has also been  
3 consolidated to Section 170.2(d)2D.

4 Next slide.

5 The final two changes for domestic water heating  
6 systems and multifamily buildings are as follows. Related  
7 to pipe sizing, a new prescriptive requirement for central  
8 hot water distribution piping, to be sized in accordance  
9 with California Plumbing Code Appendix M, has been added  
10 for this 2025 Cycle. Also a new prescriptive requirement  
11 for central systems to have a thermostatic master mixing  
12 valve has been added. In support of this new requirement,  
13 there's a new Reference Appendix section, RA4.4.19. The  
14 new RA language includes procedures for installation and  
15 commissioning.

16 Next slide.

17 Now let's go over the prescriptive multifamily  
18 photovoltaic and energy storage system updates for newly  
19 constructed multifamily buildings.

20 For 2025 low-rise multifamily buildings, we're  
21 updating multiple components of the photovoltaic system  
22 requirements in a similar fashion as proposed for single-  
23 family buildings this morning. Now, these factors will  
24 result in the same PV system size requirement as the 2022  
25 Standards, if an EER2 is equal to or greater than 11.7 for

1 the space conditioning systems for that building. And we  
2 still have the same size capacity factor -- sorry, we still  
3 have a size capacity factor, which is A, and the dwelling  
4 manufacturer, which is B. Now, the new component that  
5 we're adding to this calculation is one related to the  
6 proposed building's HVAC system's EER2 rating. Now, this  
7 is being proposed as a reduction to the minimum PV system  
8 size that corresponds to the EER2 rating of the proposed  
9 space conditioning system. For climate zones where an HVAC  
10 system's EER2 rating resulted in LSE savings when compared  
11 to the minimum value of seven, the part of the equation  
12 that's circled in red on the slide will reduce the minimum  
13 PV system size requirement for compliance. This reduction  
14 in size is capped at an EER2 of 11.7. For multifamily  
15 dwelling units where different EER2 values exist for  
16 different HVAC systems, the average EER2 of those systems  
17 may be used.

18           And moving on to the performance approach, we're  
19 proposing to use a prescriptive calculation to determine  
20 the standard design PV system size, and this follows the  
21 practice that's already in place for nonresidential and  
22 high-rise residential buildings.

23           Next slide.

24           Now, for this slide, we used our two-story  
25 dwelling unit, 7,320-square-foot prototype, and we're

1 showing the results of the PV system size required with  
2 varying EER2 values from 11.7 to 10 to 9 to 7. Now, the  
3 climate zones with major differences in PV system size  
4 requirements are in Climate Zones 11, 13, and 15, which  
5 have higher cooling loads and generally hotter days. The  
6 other climate zones have less significant effects,  
7 especially in coastal climates where there's a zero and  
8 there are no effects, no PV sizing modification  
9 requirements.

10           Finally, related to low-rise multifamily  
11 buildings that have solar access limitations, this is  
12 consistent with what we're doing in nonresidential and  
13 single-family. We're proposing minimum PV capacity  
14 requirements that vary depending on the pitch of the roof.  
15 For roofs with a pitch less than 2 to 12, the minimum PV  
16 system size is proposed to be determined by multiplying  
17 Solar Access Roof Area by 14 watts per square foot.

18           One more slide. Next slide.

19           123, go up one for me. That one, thanks.

20           Now for roofs with a pitch greater than or equal  
21 to 2 to 12, the multiplier is proposed to be 18 watts per  
22 square foot Solar Access Roof Area. Now the final change  
23 proposed for the PV system requirements for low-rise  
24 residential buildings is increasing the small PV system  
25 size exception from 1.8 kW to 4 kW. This 4 kW exception

1 already exists for high-rise multifamily and nonresidential  
2 building, and our intent is to align this exception across  
3 these building types.

4 Next slide.

5 Now, moving to high-rise multifamily PV system  
6 requirements, the minimum PV system size equation, the  
7 standard design PV system size determination, and the  
8 multipliers are proposed to remain unchanged.

9 For buildings with -- excuse me -- for buildings  
10 with Solar Access Roof Area limitations, however, similar  
11 to what we just discussed for low-rise multifamily and  
12 what's added for non-res and -- for non-res, we're  
13 proposing minimum PV capacity requirements that vary  
14 depending on the pitch of the roof. Again, that just means  
15 you have a pitch of 2 to 12 or less. The minimum PV system  
16 size is proposed to be determined by multiplying the Solar  
17 Access Roof Area by 14 watts per square foot, and for roofs  
18 with a pitch greater than 2 to 12, the multiplier is  
19 proposed to be 18 watts per square foot.

20 Next slide.

21 Now for the battery storage system requirements  
22 for high-res multifamily buildings, we're proposing to  
23 change the equation to make the required battery storage  
24 kWh size directly proportional to the conditioned floor  
25 area rather than the KWPC of the PV system.

1           And there are two equations. The first equation  
2 will be used when the required PV system size was  
3 calculated using the PV equation from the previous slide.  
4 Now, for scenarios where a building's Solar Access Roof  
5 Area is limited, the adjustment factor must be applied.  
6 This adjustment factor is circled in red on the slide for  
7 reference, and then the denominator is the kWPV calculated  
8 from the equation, while the numerator, the kWCPDc, is  
9 calculated from the Solar Access Roof Area multiplier,  
10 multiplying by 14 or 18, depending on the slope of the  
11 root.

12           For power capacity, we assume four-hour battery  
13 storage. As a result, the required power capacity would  
14 simply be the kWh divided by four. As with the 2022 cycle,  
15 for mixed occupancy buildings, the total battery system  
16 capacity for the building must be determined by applying  
17 the minimum rated usable energy capacity to each of the  
18 listed building types and summing all capacities. And  
19 finally, the PV approach -- I'm sorry, the performance  
20 approach remains the same.

21           This table shows the updated capacity factors for  
22 high-rise multifamily battery system requirements, and  
23 these battery kWh requirements are not changed compared to  
24 the 2022 Code. While the Factor B is a watt-hour per  
25 square foot rather than a watt-hour per DC wattage of PV,

1 for high-rise multifamily building types, the battery kWh  
2 requirements are not changed.

3 In parallel with the PV and energy storage system  
4 requirement updates, we're proposing updates to definitions  
5 to help clarify the intent of our requirements and systems  
6 we're covering. Of note, the battery energy storage system  
7 definition originates from the IECC and was added to our  
8 proposal requirements, in consultation with CAL FIRE.

9 Usable capacity is a term that the industry has taken to be  
10 defined as -- has asked to be defined to help clarify what  
11 capacity counts when complying with the Energy Code's  
12 minimum battery energy storage system requirements.

13 Next slide.

14 Now, continuing with JA12 requirements for  
15 battery energy storage systems, UL1741 SB was added as an  
16 option in addition to the UL1741 SA for certifications of  
17 inverters used in battery energy storage systems. The  
18 UL1741 Supplement SB is the product testing standard used  
19 by testing agencies to evaluate products to certify their  
20 compliance with the IAEA 1547-2018 and 1547.1-2020. We've  
21 also removed the minimum 5 kWh requirement from  
22 prescriptive compliance, and clarified that smaller  
23 batteries can be used as long as the sum of the battery  
24 usable capacity adds to 5 kW -- up to at least 5kWh per  
25 building. For general control requirements, we've removed

1 the subsections (c) and (d) regarding requirements for its  
2 twice per year reset and backup behavior.

3 Next slide.

4 And to round out our updates on the -- updates to  
5 Joint Appendix J12 requirements related to multifamily  
6 battery energy storage systems, we're proposing to  
7 introduce a new control strategy called Price Optimization  
8 Control. We went over this yesterday for nonresidential,  
9 but we're going to hit it again for multifamily buildings.  
10 So this strategy will be in addition to the other control  
11 strategies, which are basic TOU or Advanced Demand  
12 Response. The price optimization control option is  
13 proposed to be added to represent nonresidential buildings  
14 that have battery energy storage systems controlled by  
15 third-party energy management systems, which optimize  
16 discharging of batteries for things like reducing demand  
17 charges in ways that do not align with our current control  
18 strategies that are basic TOU or Advanced DR controls.  
19 This algorithm will be embedded into our CBECC software and  
20 is yet to be developed. We intend to work with battery  
21 manufacturers, certainly in the nonresidential market, to  
22 help develop this algorithm for this control strategy.

23 Also, Section JA12.6 related to interconnection  
24 and energy meter requirements has been removed.

25 And finally, we've created requirements for

1 certifications for JA12. For multifamily battery energy  
2 storage system listings, we're requiring that the  
3 specification set document the usable capacity of round-  
4 trip efficiency, and other characteristics addressed in  
5 Section JA12.3.2.

6 Now, that concludes the CEC's proposed changes to  
7 the prescriptive requirements for newly constructed  
8 multifamily buildings. We'll now pause for questions and  
9 for public comment.

10 MR. BOZORGCHAMI: Thank you, Javier.

11 If you have any comments, questions, in the room.  
12 I see none.

13 We have a few hands raised. I'm going to start  
14 with Gina. Go ahead, Gina. State your name and  
15 affiliation, please.

16 MS. RODDA: Gina Griffiths Rodda, G-R-I-F-F-I-T-  
17 H-S R-O-D-D-A, Energy -- Gabel Energy. I'm back. Sorry, I  
18 was teaching this morning.

19 First, I want to thank you for the changes that  
20 you're making to low-rise multifamily aligning with  
21 nonresidential and high-rise multifamily with the SARA  
22 methodology. Thank you. And thank you so much for  
23 supporting the battery calculation methodology to support  
24 SARA. That was a big miss in the past.

25 And I have docketed this in the past -- and I'm

1 sorry, Javier, I've got to say it again -- I hate the EER  
2 add to the prescriptive formula, I'm going to say it out  
3 loud. Thank you.

4 MR. PEREZ: I appreciate the comment, Gina, and  
5 no feelings hurt. You're fine.

6 MR. BOZORGCHAMI: Thank you, Gina. Thank you,  
7 Javier.

8 Marina, I'm going to unmute you. Go ahead and  
9 state your name and affiliation for the record.

10 MS. BLANCO: Hi. My name is Marina Blanco, B-L-  
11 A-N-C-O, with Gabel Energy.

12 And I just have a couple of questions more  
13 related to the prescriptive requirements and how they're  
14 going to relate to the performance section of this part of  
15 the Code. I know that now the balanced ventilation is  
16 going to be requiring our air leakage tests in our dwelling  
17 units, and I saw that the language for low-rise multifamily  
18 still had the dwelling unit -- or the building envelope  
19 leakage testing still in there as a performance option. Is  
20 that going to remain as a performance option? And if so,  
21 would the baseline it has to test to, would it have to be  
22 lower than the balanced ventilation system requirements for  
23 envelope leakage testing? That's a question.

24 And then my other question is, for climate zones  
25 that do not have an SHGC requirement prescriptively, is

1 that also going to mean that within the performance  
2 software they are not going to -- they're going to have no  
3 requirement as well?

4 Thank you.

5 MR. BOZORGCHAMI: So let's start with the easier  
6 one, the SHGC question. That's either going to be as a  
7 (indiscernible) standard is proposed. I have to double  
8 check with Haile Bucaneg, our lead on the ACM, but I'll get  
9 back to you.

10 Regarding your dwelling unit, I think I'm going  
11 to have to get back on that one too. I believe it's going  
12 to stay as-is, as a dwelling unit, but I need to confirm  
13 that with one of our subject matters.

14 MS. BLANCO: Thank you.

15 MS. GOEBES: Payam, this is Marian Goebes. Do  
16 you want me to answer her question about the --

17 MR. BOZORGCHAMI: Please.

18 MS. GOEBES: Yeah. Great.

19 Thanks, Marina. Great question. So I wanted --  
20 this is Marian Goebes. I'm the Lead for the Multifamily  
21 IAQ Case Report from the Codes and Standards Enhancement  
22 Team. And thank you for the CEC for all the great  
23 collaboration along the way. So just clarifying, the  
24 balanced ventilation or supply-only ventilation requirement  
25 is only for multifamily, not for single-family. So single-

1 family can still use exhaust only.

2           And then your question about dual and unit  
3 leakage as a performance option, that's only available for  
4 single-family. So for single-family, you can get energy  
5 savings credit if you go below the ACH50, you know,  
6 assumption, and then for multifamily, you can't get credit  
7 for that. The reason is that you don't know -- if you are  
8 building tighter than that compartmentalization  
9 requirement, you don't know if that air is coming from the  
10 outside, where you would get energy savings, or from  
11 adjacent spaces like other units.

12           So again, balanced or supply only ventilation is  
13 only going to be required for multifamily, not single-  
14 family. And single-family can claim credit for that  
15 reduced dwelling unit leakage, but not multifamily.

16           MR. BOZORGCHAMI: Marina, I've not muted you, so  
17 if you have any questions.

18           MS. BLANCO: Sorry. Yeah, I was typing it  
19 thinking I was muted.

20           Then I would just request that the section of  
21 Code gets cleaned up because I do believe that within the  
22 performance section of the multifamily part -- multifamily  
23 chapter -- it still does offer a building envelope leakage  
24 and Reference Appendices to the residential Reference  
25 Appendices. So if that's not true, then that can be

1 removed, because it is also still -- you can still model  
2 that lower envelope leakage testing within the multifamily  
3 software currently.

4 MS. GOEBES: Okay, thanks for catching that.  
5 Thank you, Marina.

6 MS. BLANCO: Yep.

7 MR. BOZORGCHAMI: Thank you. I think we're going  
8 to have to do some adjustments. We'll make that happen.

9 MR. PEREZ: Thanks for your attention to detail.

10 MR. BOZORGCHAMI: I don't see any more raised  
11 hands. If I miss someone, please raise your hand and I'll  
12 unmute you, but I don't see anybody at this time.

13 Mikey?

14 MR. SHEWMAKER: Yeah. We have one online  
15 question from Luke Morton: regarding PV sizing with EER2,  
16 can you clarify the average should be conditioned area  
17 weighted, capacity weighted average, or just a straight  
18 average of installed equipment, regardless of capacity?

19 MR. TAM: Danny Tam, CEC staff. For the  
20 prescriptive, I think our current thinking is just a  
21 straight average, but we haven't decided, so we'll take  
22 comments on that. For performance, the software have the  
23 capability to calculate for each unit what's corresponding  
24 for the PV requirements.

25 MR. BOZORGCHAMI: Thank you, Danny, for your

1 response.

2 Do you have any other comments?

3 MR. SHEWMAKER: No more other questions.

4 MR. BOZORGCHAMI: Anything in the rooms?

5 Oh, Carol, I'm going to unmute you. Go ahead and  
6 state your name and affiliation.

7 MS. ROBERTS: Hi. Carol Roberts, R-O-B-E-R-T-S,  
8 g.r.e.g. Consulting.

9 Quick question. Going back to the SARA roof  
10 calculation with the low -- with the flat roof versus a  
11 steep slope or pitched roof, you know, we have a lot of  
12 buildings that do, for architectural requirements, they  
13 have a lot of sloped tile roofs around the perimeters of  
14 the buildings, and then we have this nice, beautiful,  
15 expansive flat roof. And is the expectation now that when  
16 we're using the SARA calculation that we are using two  
17 separate formulas, number one, because we have to include  
18 available roof area? And with this, question number two  
19 is, with the kind of blending of low-rise and high-rise  
20 multifamily in roof and SARA calcs, will we be able to omit  
21 the north-facing steep slope roofs, if we have to count  
22 them with the other formula?

23 MR. BOZORGCHAMI: So I'm going to have Mohammad  
24 Saeed, our Senior Electrical Engineer who worked on this,  
25 respond to you.

1 MS. ROBERTS: Okay.

2 MR. SAEED: Hi. This is Mohammad Saeed, CEC  
3 staff. Can you guys hear me?

4 MR. BOZORGCHAMI: Perfect. Thank you, Mohammad.

5 MR. SAEED: Yeah. The reason we have -- I mean,  
6 we did two slopes initially, because expectation is that if  
7 you have the high sloped roof, right, then you are going to  
8 most probably put the panels flat with that slope. Right?  
9 It means that you can cover more ground with that. That is  
10 why it is the SARA times 18 watt per square feet. But if  
11 you think that there may be some situations in which that  
12 might not be possible, then yeah, definitely I would like  
13 you to submit that comment for that.

14 Also, you said that about the north-facing roofs.  
15 I think we are not changing anything with that. I mean,  
16 you just have, it's the same SARA calculation, and you have  
17 to use the same solar assessment tools, like before. It's  
18 just that the threshold -- you know, the SARA times 14 and  
19 SARA times 18 -- that will be depending on your roof slope.  
20 So you are going to use one equation, but which equation,  
21 that will be determined by the roof slope. But if you have  
22 multiple roof slopes, I think then, yeah, for some roofs,  
23 you will have to use the first equation and some for  
24 second. It all depends on the, you know, the roof slope.

25 But yeah, definitely, I would like to, you know,

1 you to docket the comment, and we will definitely get back  
2 to you for any clarification.

3 Thank you.

4 MS. ROBERTS: I have one other point to add to  
5 that, if we could, which I'll add to the docket for  
6 consideration.

7 These are generally not very large, expansive  
8 slope areas, right? They barely hold one panel, and that's  
9 on the horizontal or portrait kind of layout, because  
10 they're not deep enough to hold more than one, maybe two,  
11 panels. So by having a higher multiplier for that space,  
12 that square footage, I think we're working against the  
13 opportunity of what kind of panel we can place in that  
14 location, where we are, you know, throwing away three and a  
15 half feet of a strip of a long length of a building because  
16 it will not hold the second row of panels. But we're  
17 getting -- we have to count that square footage in the  
18 formula, and we now have a higher multiplier for that  
19 square footage it is really unusable. I'll add that to the  
20 note, but I would like to maybe have that consideration  
21 for, what do we do in these smaller? If they're not going  
22 to necessarily be under 80 particular square feet --

23 MR. SAEED: Yeah. Yeah.

24 MS. ROBERTS: at the end of the day.

25 MR. SAEED: Yeah. Definitely. And I would like,

1 whenever you docket the comment, definitely send some  
2 examples, the one that you are talking about, the small  
3 strips, so that we can take a look and take that into  
4 consideration. Yeah.

5 MS. ROBERTS: Okay. Thank you.

6 MR. SAEED: Thank you. Thank you very much.

7 MS. ROBERTS: Appreciate it.

8 MR. BOZORGCHAMI: Thank you, Carol. Thank you,  
9 Mohammad.

10 Carol, if it's possible, if we can get a sketch  
11 of that, that'd be great, actually. We could talk it  
12 amongst us, make the adjustments.

13 Thank you.

14 MS. ROBERTS: You've got it.

15 MR. BOZORGCHAMI: Thank you. I don't see any  
16 more raised hands, and I don't see anyone in the room.

17 Mikey has two comments. So go ahead, Mikey.

18 MR. SHEWMAKER: Yeah. We had a couple more  
19 questions and comments come into the chat.

20 So, from Luke Morton: a clarifying question,  
21 steep slope roofs sound like they should be calculated on  
22 the plane of view and not the actual area?

23 MR. SAEED: So, this is Mohammad Saeed again.

24 It's going to be the actual area, minus any, you  
25 know, subtraction needed for any State Code. You know, for

1 example, for the fire marshal, like three feet or one and a  
2 half feet depending on the Code language. So, yeah, it's  
3 an actual area multiplied by 18.

4 Is that the -- I hope that's the answer to the  
5 question you --

6 MR. BOZORGCHAMI: Yeah, you're right. Correct,  
7 Mohammad. That is true.

8 MR. SHEWMAKER: Thanks, Mohammad. Next is a  
9 comment from Gina Griffiths Rodda: steep slope on a roof  
10 perimeter feature might not be capable of supporting PV --  
11 maybe there needs to be a certain width, like we have to  
12 for solar readiness.

13 MR. SAEED: Yeah, definitely, Gina. I mean, if  
14 you can provide the examples of what kind of roof by the  
15 perimeter feature, that will provide some hindrance for a  
16 roof for PV support, then we will definitely take that into  
17 consideration. Yeah.

18 MR. BOZORGCHAMI: Thank you, Mohammad. Thank  
19 you, everyone.

20 Again, the favorite slide of the day. Please  
21 submit your comments. The sooner the better. There's some  
22 really good comments that I think staff need to view,  
23 visually understand, and the sooner we get those, I think  
24 we're going to have a better, productive set of standards.

25 Next, we were going to take a break. I think

1 we're going to push through. We've got enough time.

2           And then the Section 180 is the multifamily  
3 additions, alterations, it's not that large.

4           So Javier, can you -- can we do that?

5           MR. PEREZ: Yes, please.

6           Okay. So the last bit here. So hold on tight.

7 Thanks for staying with us. Very much appreciated.

8           Alright. It's moving on to additions and  
9 alterations to existing multifamily buildings.

10           Next slide, please.

11           Starting with Section 180.1(a)2, indoor air  
12 quality for additions, language in (a)2 and subsection  
13 (a)2ii, or Roman numeral 2, was added to ensure and improve  
14 general clarity and maintain internal consistency with the  
15 Energy Code. This revised language doesn't change the  
16 requirements of this section. In (a)2, an exception was  
17 added to clarify that compartmentalization is not required  
18 for additions. And (a)2Aii, whole-dwelling -- I'm sorry,  
19 whole-dwelling units and mechanical ventilation  
20 requirements for additions and existing dwelling units that  
21 increase conditioned floor area by more than 1,000 square  
22 feet, we added an exception to clarify the mechanical  
23 ventilation systems, in addition, shall be supply,  
24 balanced, or the existing ventilation type. And what  
25 that's generally saying is if you had existing ventilation

1 systems that were exhaust, they can continue to be exhaust,  
2 post this addition.

3 Next slide, please.

4 Moving to Section 180.2 for alterations to  
5 existing multifamily ventilation systems. The added  
6 language in subsection (b)5 and (b)5A and (b)5Aii was,  
7 again, improving clarity and maintaining internal  
8 consistency, and not into any of the changed requirements  
9 of this section. Now, more specifically in (b)5,  
10 mechanical ventilation and indoor quality for dwelling  
11 units, an exception was added to clarify that, again,  
12 compartmentalization is not required for alterations. In  
13 (b)5A, entirely new or complete replacement ventilation  
14 systems, an exception was added to again clarify that new  
15 or replacement ventilation systems shall be supply,  
16 balanced, or again, the existing ventilation type that is  
17 being replaced. In subsection (b)5Bia, whole-dwelling unit  
18 ventilation system type, the language was added to clarify  
19 that altered ventilation systems shall be supply, balanced,  
20 or, again, existing ventilation system type.

21 Next slide, please.

22 The final change that we'll cover for today is  
23 for alterations to fenestration products, including  
24 skylights.

25 In Table 180.2-B, we're proposing to make the

1 following changes for fenestration. For all four  
2 fenestration category types, we're proposing to remove the  
3 maximum RSHGC standard for Climate Zones 1, 3, 5, and 16.  
4 This aligns with the requirements for new construction.  
5 Specifically for curtain wall, storefront, and window  
6 walls, we're proposing to separate out glazed doors, which  
7 are included as part of the all other windows and glazed  
8 door fenestration category. For all other windows and  
9 glazed doors, we're proposing to reduce the maximum U-  
10 Factor requirements to 0.28 in Climate Zones 1, 3 through  
11 5, 11, and 13 through 16. And for skylights, we're  
12 proposing to consolidate the prescriptive standards for  
13 low-rise multifamily buildings and high-rise multifamily  
14 buildings. As proposed, again, similar to what we're  
15 proposing in new construction, all multifamily buildings  
16 would comply with the same standards, regardless of  
17 building height. And for U-Factor, that's 0.46 in all  
18 Climate Zones, and relative solar heat gain, that's 0.25 in  
19 Climate Zones 2, 4, and 8 through 15.

20 And that concludes the CEC's proposed changes to  
21 the additions and alteration requirements for newly  
22 constructed -- I'm sorry, to additions and alteration  
23 requirements for multifamily buildings.

24 I will now pause for any questions or public  
25 comments. I think we've got one raised hand.

1 MR. BOZORGCHAMI: Before we go to the phone,  
2 anybody -- so go right to the phone line.

3 Gina, go ahead, and state your name and  
4 affiliation. Thank you.

5 MS. RODDA: Gina Griffiths Rodda, G-R-I-F-F-I-T-  
6 H-S R-O-D-D-A, Gabel Energy. I just want to say the  
7 cleanup of what you guys have in the add alt Section for  
8 multifamily for ventilation is fantastic, because as I've  
9 already commented, we always forget, it seems to be, how do  
10 these requirements apply to additions and alteration. And  
11 Maureen did a great job of making sure that was very --  
12 Marina, I'm sorry, not Maureen, Marina -- did a great job  
13 making sure that was clear.

14 Thank you.

15 MR. BOZORGCHAMI: Thank you, Gina.

16 I have no other questions. Thank you. I have no  
17 questions in here.

18 What I'm going to do -- Commissioner, if it's  
19 okay with you, I'm going to open it up for any comments of  
20 anything you heard today, this morning, this afternoon, any  
21 thoughts.

22 Oh, I have one raised hand. Anne, go ahead and  
23 state your name and affiliation, please.

24 MS. PERNICK: Hi. Can you hear me okay?

25 MR. BOZORGCHAMI: Perfect. Thank you.

1 MS. PERNICK: Hi. This is Anne Pernick, and my  
2 name is spelled A-N-N-E, last name is P-E-R, N as in Nancy,  
3 I-C-K. I am with SAFE cities at Stand.Eart.

4 And I wanted to applaud the CEC for introducing a  
5 prescriptive requirement for heat pump space and water  
6 heating in all climate zones for residential buildings, and  
7 applaud the CEC's decision to include the new construction  
8 heat pump baselines for space and water heaters in  
9 additions. And I also want to ask you to please maintain  
10 these requirements in the final standards, and also say  
11 that removing the language from the Draft Express Terms on  
12 alteration where an A/C system would be replaced by heat  
13 pump was a missed opportunity to improve air quality for  
14 Californians, drive the heat pump market, and accelerate  
15 heat pump adoption, and to ask you to please move the  
16 prescriptive requirement for a heat pump to replace an air  
17 conditioner in existing single-family homes from the  
18 voluntary Section Part 11 of CALGreen back to the Energy  
19 Code Part 6. And that way Californians will not miss out.

20 This is a no-regrets opportunity to cut planet  
21 warming emissions, improve the health and safety of homes,  
22 and benefit consumers by encouraging the installation of  
23 energy-saving heat pumps when air conditioning units burn  
24 out.

25 Thank you very much.

1 MR. BOZORGCHAMI: Thank you Anne, and if you  
2 could come document those comments, that would be great.  
3 Thank you.

4 MS. PERNICK: Absolutely. Thank you.

5 MR. BOZORGCHAMI: Nehemiah, go ahead and unmute  
6 yourself, state your name and last name, and your  
7 affiliation. Wow.

8 MR. STONE: Nehemiah Stone, last name S-T-O-N-E.  
9 There's no D at the end. Stone Energy Associates.

10 You heard a comment earlier that there should be  
11 an exception for -- to allow exhaust only in some  
12 situations with multifamily. I would like to state that I  
13 believe that is not the case. There's plenty of reasons,  
14 plenty of research, showing that exhaust only too often  
15 doesn't, and actually can cause problems with the kitchen  
16 exhaust. And additionally, the tenants will never have the  
17 opportunity to change that themselves. And the owner of  
18 the property, the builder of the property, is the only one  
19 that can make that work, and it may be more expensive for  
20 them in some cases is to try to figure out how to get the  
21 balanced or supply type of ventilation. That expense is  
22 way, way less than what the tenants could experience in  
23 terms of health costs and lost work.

24 Thank you.

25 MR. BOZORGCHAMI: Thank you, Nehemiah. Just

1 wanted to point out that that work was done by -- a lot of  
2 that work was done with our CASE team, which I thank them  
3 very much, and also Anushka Raut, our Air Pollution  
4 Specialist, who, as soon as she got hired on, she rolled up  
5 her sleeves and went at it working on this.

6 But thank you, folks, for helping out with that  
7 work.

8 Next, we have Gina Griffiths. Go ahead, and  
9 state --

10 MS. RODDA: Again, it's Gina Griffith Rodda, G-R-  
11 I-F-F-I-T-H-S R-O-D-D-A, Gabel Energy.

12 I want to reiterate Nehemiah's comment. When  
13 these first came out, people really were all for balanced  
14 ventilation, and I had a lot of my multifamily clients  
15 really look at, what can they do to the design of the  
16 building to support the intake and outtake, and the  
17 distance needed. And sometimes that meant reconfiguring  
18 the facade of the building. It's doable, and it supports  
19 health and safety.

20 I do also want to put on record that I do not  
21 agree with there being heat pump requirements for  
22 alterations. The cost effectiveness is not supported, and  
23 it's going to drive people away from enforcing the Code if  
24 we start putting in requirements that are going to be very  
25 difficult for homeowners to achieve.

1 Thank you.

2 MR. BOZORGCHAMI: Thank you for those comments,  
3 Gina.

4 Carol, I'm going to unmute you, and please state  
5 your name and last name.

6 And I apologize, Carol, you're coming in a little  
7 bit light. Can you maybe get closer to the microphone if  
8 possible? Or maybe shout a little bit more? I'm having a  
9 hard time.

10 MS. ROBERTS: Okay. Is this any better?

11 COMMISSIONER MCALLISTER: I mean not really.

12 MR. BOZORGCHAMI: Sorry.

13 MS. ROBERTS: I'm so sorry.

14 MR. BOZORGCHAMI: No worries.

15 MS. ROBERTS: I will holler the best I can. I'll  
16 try to keep it short. I do have a couple comments.

17 To follow up the heat pump requirement to not be  
18 moved to Part 11, I do agree with Gina's statement. That  
19 is a huge cost delta. It's not just a one-to-one change  
20 out, you don't take the A/C unit that died while your  
21 furnace is working and put a heat pump out there. It's a  
22 major difference in cost, and the refrigerants are usually  
23 not supported, in that you have to do the whole system  
24 again.

25 My other comment is to exhaust. I would -- I

1 think exhaust has its place, exhaust ventilation. What we  
2 see in the field is that we don't have enough good language  
3 to back us up for a good exhaust design. We have exhaust  
4 fans in small apartments that are -- that need 40 to 50 CFM  
5 total continuous ventilation, but because we can assign an  
6 80 CFM fan, it is being hardwired with an on-off switch at  
7 the same place as the light, and we can preach best  
8 practice all day long, but when that GC is value-  
9 engineering, it is not going to happen. We are not getting  
10 the best work, and we don't have any support to get better  
11 design and better equipment enforceable -- that's  
12 enforceable. So yes, people are going to jury rig it.  
13 They're going to undo it as soon as they can take that  
14 thing and shut it off. It's loud and annoying. So I'm  
15 sorry to see that option going away. I would like to have  
16 it had it been better supported in the field.

17 I had one more thing. Sorry, and I'm trying not  
18 to yell, that I am -- oh, on PV systems being powered up  
19 and actually supporting all-electric buildings. We are  
20 just now beginning some studies in primarily affordable  
21 housing buildings, because they are always the ones at the  
22 forefront, because they're pushed into these things sooner  
23 than market rate. We are studying their bills with the  
24 utility. And we are finding that very often it is six  
25 months to a year before their PV system is actually

1 energized in their all-electric building with their failing  
2 water, you know, heat pump water boiler systems. And it is  
3 not cost effective, and it's not delivering hot water.  
4 There's so many things happening on the ground now. We  
5 have real data to look at. We have real projects to look  
6 at. We're not looking at 2020 studies, for back when this  
7 was implemented in the last Code cycle. I mean, we are --  
8 we have data now. We have to help -- we have to help these  
9 building operators get their PV going so that they can find  
10 that benefit, and find those offsets that they promised.  
11 And in the CUAC, they promised offsets to their tenant, and  
12 that could be 50 percent of their utility bill, where the  
13 owner is either happy to pay that until that system's  
14 energized. And with -- you know, we cross our fingers and  
15 only hope that they get the savings that the CUAC  
16 predicted.

17 I do want to reach out, you know, shout out to  
18 the CUAC team. They've done amazing work in the software,  
19 as everyone has at all the software, but we've really come  
20 a long, long way on that, and we really appreciate  
21 everyone's hard work to get that right. Now I just need  
22 the building to back it up.

23 MR. BOZORGCHAMI: Thank you for those comments.

24 Carol, I sincerely apologize. You are coming in  
25 a little bit soft, and I do want to be able to see the

1 comments.

2           Could you please submit a comment into the  
3 docket? Apologies.

4           MS. ROBERTS: Will do.

5           MR. BOZORGCHAMI: Really, sorry.

6           I'm going to spill the beans here a little bit.  
7 There's going to be a tentative scheduled date for Part 11  
8 is scheduled for June 5th. So I invite you all to keep an  
9 eye on that notice, and details are to come, but there will  
10 be discussions on heat pump alterations during that  
11 workshop also.

12           With that, I have one more hand. Hassan, I'm  
13 going to unmute you. Go ahead and state your name and  
14 affiliation.

15           MR. FAWAZ: Hi there. My name is Hassan Fawaz,  
16 F-A-W-A-Z, in affiliation with Green MEP for Mechanical and  
17 Energy.

18           It's somewhat to do with the exhaust only.  
19 Again, I'm not going to reiterate what I've said, but  
20 instead I want to bring up a new topic that I'd like to  
21 talk about in regards to ERVs and HRVs regarding balanced  
22 ventilation and the feasibility of this. I've talked  
23 before with vendors from Renew Air, who work with ERVs that  
24 are able to be put in multifamily, as they're only about 10  
25 inches in height. They had some interesting cosections in,

1 let's say, Washington, up north, where they allowed less  
2 than 10 feet separation. And all they had to do was  
3 provide a manufacturer guarantee that there's less than 2  
4 percent chance of any -- 2 percent of any infiltration  
5 coming from the exhausts back into the intake. I think if  
6 that were to be helped -- implemented, it would make, if  
7 exhaust only has to go through, and everything goes through  
8 with that, ERVs can be a good option. It increases energy  
9 recovery. It makes it so much more efficient for the  
10 building than just a separate outside air fan, and not just  
11 for mandatory requirements, but to help with the  
12 prescriptive. It would be great to have some type of thing  
13 where we can balance between Mechanical Code, Energy Code  
14 for the State, to allow some type of additional exception  
15 to, if you have an ERV that allows less than 2 percent of  
16 the infiltration coming in, that we can use that to be  
17 within a certain distance that's feasible, let's say five  
18 feet or so, when sometimes they're even put right next to  
19 each other, having that type of infiltration requirement.

20           If there's some type of coordination that they  
21 can done with the California State for mechanical energy,  
22 to allow ERVs to have that type of separation, I feel like  
23 it'd be a lot more common to see ERVs.

24           MR. BOZORGCHAMI: Thank you, Hassan, for the  
25 comment.

1           Next, Ted, go ahead and state your name and  
2 affiliation, and spell your last name, please.

3           MR. TIFFANY: Yeah. Hi, guys. Ted Tiffany.  
4 Tiffany is T-I-F-F-A-N-Y. Speaking on behalf of myself,  
5 but I do work for the Building Decarbonization Coalition.

6           I just want to thank the CEC Commissioner.  
7 Commissioner McAllister, your staff has done an incredible  
8 job this Code cycle, and appreciate all the advocates  
9 stepping up today and providing their technical comments.  
10 You know, we've had a lot of people that have been  
11 following the standards for quite a while provide some  
12 fantastic comments today. And, you know, a lot of them in  
13 support of the dual heat pump baselines, and I want to make  
14 sure that you guys maintain those for both residential and  
15 nonresidential as well. And we'll, staff, make sure we do  
16 some cleanup to make sure those prescriptions are cost-  
17 effective and easily to implement.

18           I want to applaud you on the inclusion of A/C  
19 heat pump for additions, and want to encourage major  
20 alterations as well. And to kind of just push back on one  
21 thing that Gina had noted about the alterations being  
22 enforceable, it's going to be much harder to enforce and  
23 puts a burden on the local jurisdictions to both, not only  
24 go through the adoption process, but also the enforcement,  
25 jurisdiction by jurisdiction. Industry, AIA, ASHRAE, all

1 of the designers that have to implement code by code,  
2 county by county, city by city. It just makes the burden a  
3 little bit (audio cuts out). I just want to make sure, you  
4 know, if there is an opportunity to keep that in Part 6,  
5 the enforceability is there for us.

6 But generally, I want to thank Commissioner  
7 McAllister, you and your staff, again. Nice work on this,  
8 and we'll help you see this to the finish line.

9 I appreciate all your help.

10 MR. BOZORGCHAMI: Thank you, Ted.

11 I don't see any raised hands. I don't see any  
12 comments.

13 MR. SHEWMAKER: No open questions.

14 MR. BOZORGCHAMI: We have no open questions.

15 Commissioner, before we open up to all of the  
16 Title 24 Part 6, just for today, if you'd like to give some  
17 remarks.

18 COMMISSIONER MCALLISTER: Sure.

19 So I just want to thank everyone who's been with  
20 us through the long haul here, all three days, and for  
21 many, many months, and really years before today.

22 I agree with, you know, the assessments. I  
23 totally agree with the kudos to staff. It's just been --  
24 there's so many topics here, and we have expertise on every  
25 single one of them in the building, and a great stakeholder

1 group out there helping us get it right. So I'm really  
2 happy with where we're landing here.

3           On heat pumps, I guess just high-level, I think  
4 we all are in just thunderous agreement that heat pump  
5 retrofits -- you know, heat pumps in new construction,  
6 certainly -- but also retrofits are a key measure, perhaps  
7 the key measure, for decarbonizing our buildings. And so  
8 it's not whether we, you know, work this out to help the  
9 retrofit market really get to scale, it's how we're going  
10 to go about that, and summit the timeframe, but we all feel  
11 a lot of urgency. And, you know -- but there are bigger,  
12 there are a whole bunch of issues around particularly HVAC  
13 retrofits that we have to solve while we're doing this.

14           You know, in theory -- you know, I agree with  
15 Ted. In theory enforceability is there, and the rule of  
16 law is there. Local jurisdictions are supposed to enforce  
17 the Building Code. But in HVAC retrofits, we just have a  
18 dismal record of getting even permits pulled, not to  
19 mention the building department actually working through to  
20 close out those permits. And so that's just a harsh  
21 reality.

22           And there are a lot of reasons for that. And  
23 many of them don't rest with the Energy Commission. It's  
24 just -- it's person power, and kind of the, you know,  
25 economies that -- the situation of the consumer, the

1 economies of the contractors, and just whole ecosystem  
2 there that really needs an integrated look. And so, you  
3 know, I do think that when we increase requirements, it  
4 does drive, you know, more installations underground. Most  
5 HVAC retrofits are already underground.

6           So I think that we really want to sort of roll up  
7 our sleeves and work with all of you to solve that issue,  
8 along with the way the Code treats heat pump retrofits. so  
9 you know it's not -- it's not that -- I mean, I think we  
10 all want to get there. And so the question is, you know,  
11 can we really lock arms and walk down the road together to  
12 get there. So I know we can, and we're certainly committed  
13 to doing that.

14           And, you know, we'll look forward to the to the  
15 Part 11 discussion that Payam mentioned. So comment.  
16 Submit your written comments. You know, I'll ask -- well,  
17 it's already up there. There you go. No doubt. And the  
18 deadline is May 13th, so really encourage lots of great  
19 comments. And some of them are kind of shorthand because  
20 of the time limitations and the setup here, so really would  
21 appreciate everybody putting their thoughts down completely  
22 and in writing, submitting those to the docket. And of  
23 course, staff is always -- and actually my advisor who's  
24 been with us for three days, Hughson Garnier, feel free to  
25 contact him as well. Really, we're listening, our ears are

1 wide open, and we want to work through these remaining  
2 issues and land those in the right place.

3 But overall, really happy with where things are,  
4 and just really grateful for all the participation from  
5 stakeholders across the land, and staff here at the  
6 Commission.

7 So with that I pass back to you, Payam.

8 MR. BOZORGCHAMI: Thank you, Commissioner.

9 So with that, I'm going to ask one more time for  
10 any comments or any concerns, questions, from the past  
11 three days of hearings that we've had. Is there anyone  
12 that has anything that they want to add, or was there  
13 something we missed that you wanted to bring up?

14 I see Nehemiah has his hand up. Go ahead,  
15 Nehemiah.

16 MR. STONE: Yeah. Nehemiah Stone, S-T-O-N-E.

17 I just want, in response to something that you  
18 said, Commissioner McAllister, there was -- Ted Tiffany and  
19 many others were involved in a group called the Compliance  
20 Improvement Advisory Group a little more than 10 years ago.  
21 A number of papers we wrote cover a lot of the compliance-  
22 improvement issues, and I would recommend that you and the  
23 staff go back and take a look at some of those papers,  
24 because they can, you know, if the suggestions are  
25 followed, they can help improve compliance.

1           We're never going to have perfect compliance. I  
2 mean, I think that, you know, that's an honest assessment  
3 that we need to come to terms with, but we can still  
4 improve compliance, and there's a lot of really good  
5 suggestions that came out of the Compliance Improvement  
6 Advisory Group.

7           Thank you.

8           COMMISSIONER MCALLISTER: Thanks, Nehemiah. I  
9 really appreciate that.

10           And I remember that well. And, you know, many  
11 of those recommendations made their way into the AB 758  
12 Existing Buildings Report and have, you know, maintained a  
13 life since then as well. So, many of those recommendations  
14 are current recommendations.

15           I think where we've experienced a little bit of  
16 frustration is just closing that informational gap to know  
17 when, you know, projects are happening at all. And when I  
18 said there were abysmally low permitting rates, that is  
19 more on the residential side than the commercial side, but,  
20 you know, it's kind of across the board. We have a system  
21 set up that is not being applied to the majority of  
22 installations on the residential side, for sure. So we  
23 need to close that informational gap in terms of knowing  
24 what equipment is coming into the state, and more or less  
25 where it's going. And, you know, we worked with the

1 legislature for a few years on that, and so far haven't  
2 gotten there. But, you know, the Energy Commission is  
3 going to start to be more proactive on that front, because  
4 that's sort of the platform on which many of these actions  
5 that the Commission, the local governments, and others  
6 could be taking have to rest. Right? Is on good  
7 information.

8           And so, you know, if contractors were sort of  
9 making sure the permits happen, for example, that would let  
10 the world know that there's a project in that location.

11           How do we sort of create the environment where  
12 that contractor feels like they need to do that? You know,  
13 how can we sort of link up the permitting data with the  
14 equipment data and sort of begin to highlight the  
15 mismatches between that? There are a number of things we  
16 could do to improve in that direction, and so just want to  
17 want to make sure everyone knows that we're planning to  
18 work on that in earnest.

19           But thanks, Nehemiah. You've played a big role  
20 in that.

21           MR. BOZORGCHAMI: Thank you, Nehemiah. Thank  
22 you, Commissioner.

23           Next we have Christopher Ruch. Christopher,  
24 please state your name and affiliation, and for the record  
25 spell your last name.

1 MR. RUCH: Sure. It's Christopher Ruch. Last  
2 name is R-U-C-H, and I'm with NEMI.

3 Commissioner, I do appreciate you bringing up the  
4 part about the permits. I think that is an issue to  
5 address, and I think a lot of us would like to help the CEC  
6 on that.

7 But I did have a very specific question going  
8 back a day to 140.4(a)3, and this is page 381 out of 758  
9 out of the 45-day language. So this is 140.4(a)3. This  
10 was the part where there was a lot of discussion about  
11 multizones and school buildings and the minimums for these.  
12 My question is that, it was, there was a slide and it was  
13 also stated by staff that there was a size limit for the  
14 school buildings. Like, it was only the very largest  
15 school buildings that would have to do this multizone. And  
16 I was just having trouble finding that, where it was  
17 stating that it was only buildings of a certain size. I  
18 could see single-zone, and then I could see multizone, but  
19 it looked like, if it's a school building that's a  
20 multizone, it would follow under those rules. And I was  
21 just wondering if you could point out what I'm missing.

22 MR. TSAN: This is Bach Tsan with the California  
23 Commission. So there was one of the slides that just shows  
24 the large school buildings, and this is for square footage  
25 of 150 and above for Large Schools to apply to. I guess we

1 will have to clarify that, but basically you look at the  
2 section before, that's from the 2022 Code cycle, that it's  
3 every -- it's covered in -- it's multizone buildings that's  
4 not covered in 140.4(a)2.

5 Does that help?

6 MR. RUCH: Yeah it might help.

7 MR. TSAN: If you submit a comment, I'll clarify.

8 MR. RUCH: Yeah. I'll submit a comment, but it  
9 also might help to just clarify it, because if I'm having  
10 trouble, others might have trouble.

11 MR. TSAN: Understood. Thank you.

12 MR. RUCH: Thank you.

13 MR. BOZORGCHAMI: Thank you, Bach.

14 Gina, go ahead.

15 MS. RODDA: Gina Griffiths Radda. I'm not going  
16 to spell it again. Gabel Energy.

17 It doesn't say certain sizes of school and  
18 office. It really is, it's single-zone or it's multizone.  
19 I think what Bach was referring to yesterday is the case  
20 prototype buildings that were used to research the cost-  
21 effectiveness of this particular measure.

22 MR. BOZORGCHAMI: That is correct. That is  
23 correct, Gina.

24 Commissioner, I don't see any more raised hands.

25 COMMISSIONER MCALLISTER: Great.

1 MR. BOZORGCHAMI: I don't see any comments in the  
2 chat.

3 So I'm going to conclude these workshops, and I  
4 encourage folks to submit their comments to the docket.  
5 Right there is the link. Hoping people do it before May  
6 13th, and give us enough time to really look into these  
7 comments, and get a proper response. If you do need  
8 assistance in docketing, or if you need assistance in other  
9 parts of Title 24, or even other sections of what the  
10 California Energy Commission does, Mona Badie, our Public  
11 Advisor, is more than happy to help you and assist you.  
12 Her website is right there -- her email is right there,  
13 excuse me. Her phone number, and the website to the Public  
14 Advisor's office is right there, too.

15 COMMISSIONER MCALLISTER: Great.

16 MR. BOZORGCHAMI: Do we -- are you okay to  
17 conclude today's?

18 Oh, we do have -- I'm sorry.

19 COMMISSIONER MCALLISTER: Oh. Okay.

20 MR. BOZORGCHAMI: I did get one raised hand  
21 coming in. I apologize.

22 Karen, go ahead and state your name and  
23 affiliation and spell your last name.

24 MS. BRAGG: Hi. My name is Karen Bragg. Last  
25 name is B-R-A-G-G. I am affiliated with the U.S. Green

1 Building Council, and sorry for the hesitation in asking my  
2 question. And I wasn't quite sure how to ask this.

3 But I also have been a LEED Green Rater for the  
4 past seven years in Southern California, and have a lot of  
5 experience looking at, like, mid-rise multifamily low-  
6 income housing. And in that vein, I know how important,  
7 like, field verification and enforcement are. So if --  
8 thinking if we want this new Code to really have the impact  
9 that we need, that, really, enforcement and verification  
10 are really important. And my guess is, local  
11 jurisdictions, everyone's going to have a hard time just  
12 ramping up and adjusting to what's required here, and I  
13 don't know what role the CEC has if any in helping to  
14 regulate or guide how the Code is enforced. But would  
15 there be -- I mean, knowing that a program like LEED or  
16 other green building programs have a structure and method  
17 of, like, being in the field and verifying things, would  
18 third-party green building programs be considered as maybe  
19 an alternate compliance path for some of these issues?

20 Yeah. I don't know if you're in a position to  
21 answer that question, or -- but yeah, it could help fill in  
22 a gap, at least as this Code, the Codes change and come  
23 out, it could help fill in the gap for field verifications.

24 MR. BOZORGCHAMI: Sure.

25 So I can tell you right now that the Energy

1 Commission has a program, the Outreach and Implementation  
2 that's being managed by -- or supervised by Chris Olvera,  
3 within our branch, in our efficiency, that is out there on  
4 a daily basis, almost, providing training to the local  
5 jurisdictions, and manufacturers, and so forth. There's  
6 also the Energy Code ACE program that we have funded  
7 through the utilities, that's been really adamantly  
8 assisting the Energy Commission in providing information,  
9 training, methods of filling out documents, and actually  
10 doing enforcement. And then the utilities themselves also  
11 have training programs and classes through PG&E and  
12 Sacramento Municipal Utility Districts.

13 I don't know why your organization could not be  
14 out there providing assistance either.

15 I have one member of the Energy Commission.  
16 Charles, do you want to --

17 MR. OPFERMAN: Sure. my name is Charles  
18 Opferman, spelled O-P-F-E-R-M-A-N. I just want to point  
19 out that we also have a workshop on April 30th taking a  
20 look at the whole-house rating system beginning, and taking  
21 a look at the various rating systems that exist, looking at  
22 single-family and residential.

23 And if you wish to participate in that, that one  
24 starts at nine o'clock in the morning. It's on the CEC  
25 website calendar.

1           MR. BOZORGCHAMI: That notice is out for that  
2 one, Charles?

3           MR. OPFERMAN: The notice is out.

4           MR. BOZORGCHAMI: Okay. Wonderful.

5           So Karen, there you go.

6           MS. BRAGG: Great. Thank you.

7           MR. BOZORGCHAMI: I recommend you get involved  
8 with that program.

9           COMMISSIONER MCALLISTER: I'll reiterate. That's  
10 a great opportunity.

11           We are really planning to create a rating system  
12 that has -- sort of has traction out there, and that you,  
13 know is, highly understandable by regular people, and so  
14 really excited about that opportunity. There -- we're  
15 drawing from programs across the globe, actually, as models  
16 that we can perhaps, you know, inform our program with, and  
17 so I think it's a great opportunity for LEED and USGBC and,  
18 you know, the other rating systems that are out there to  
19 sort of cross-pollinate and figure out how we can do  
20 something really solid in California.

21           And then I also wanted to just say, I  
22 complimented staff, appropriately. I feel like I kind of  
23 left out legal. Our legal department in the Commission is  
24 really a key piece of this whole process, and they really  
25 do help guide the activities of the Code update from the

1 outset. And they're just -- it's way more complicated than  
2 I think anybody in this context would really be able to  
3 appreciate. A lot of it's behind the scenes, and just  
4 helping navigate, you know, the state requirements process,  
5 which can be quite complicated, and navigating federal law  
6 as well, those constraints around what a State Energy Code  
7 can do. And so really just want to appreciate Mike Murza,  
8 and the rest of legal who have been with us the whole way.

9 MR. BOZORGCHAMI: Indeed. Thank you,  
10 Commissioner.

11 We'll take one more raised hand and then we're  
12 going to wrap it up.

13 Carol, go ahead and state your name and  
14 affiliation.

15 MS. ROBERTS: Hi. Carol Roberts, g.r.e.g.  
16 Consulting. Can you hear me this time?

17 MR. BOZORGCHAMI: Perfect.

18 MS. ROBERTS: I fixed a setting. I'm so sorry.

19 I don't know if you are prepared or not to expand  
20 on, I missed the first part of that conversation on a  
21 rating system for California.

22 MR. BOZORGCHAMI: Charles, can you respond?

23 MR. OPFERMAN: Once again, I'm Charles Opferman,  
24 O-P-F-E-R-M-A-N, CEC.

25 No, the whole-house, I'll skip the history and

1 just let -- there's the original whole-house rating program  
2 is being re-envisioned. We are starting workshops as part  
3 of a public engagement process, and the first workshop on  
4 this is April 30th at 9 a.m. Once again, go to the CEC  
5 webpage, and it's in the calendar.

6 MS. ROBERTS: Okay. And the reach of this whole  
7 house rating program is for existing homes and retrofit?

8 MR. OPFERMAN: Yes.

9 MS. ROBERTS: Okay.

10 I just want to add one last comment to your  
11 points made earlier, Karen. Good news is we've got more  
12 HERS rating in mid-rise and high-rise buildings than we  
13 used to, and our blower door air infiltration rates are  
14 equal to the LEED minimum requirements. We've come a long  
15 way in getting a HERS rater in the rest of that building,  
16 and it is helping, but we're not getting in those high-rise  
17 buildings, or over three stories is a QII.

18 As a consultant and a rating entity here, we also  
19 do the QII inspection even on a high-rise because we want  
20 them to pass the blower door. It is instrumental in a  
21 supply-only situation or exhaust-only situation where you  
22 have a blower door mandatory. So again, anything Code-  
23 related to help support us get those third-party  
24 verifications out there, they do help.

25 Thank you.

1           MR. BOZORGCHAMI: Thank you, Carol. I think with  
2 that, this concludes the third Commissioner Hearing for  
3 this, for the 2025 Energy Codes.

4           Next, our staff will be working on comments and  
5 reviewing comments with our case team and legal team. And  
6 the sooner we get the comments into the docket, the sooner  
7 we can review those and provide a proper language for the  
8 15-day. Then we're hoping to release the 15-day language  
9 in sometimes in June. So, really, seems like a long time.  
10 We don't have that much time.

11           So with that, thank you for your time, and have a  
12 nice rest of the afternoon.

13           (The hearing adjourned at 2:33 p.m.)


14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a notary public and certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 23rd day of May, 2024.

A photograph of a handwritten signature in black ink on a light-colored surface. The signature is written in a cursive style and appears to read "Chris Caplan".

---

Chris Caplan  
Electronic Reporter  
CER\*\*1971

## CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

May 23, 2024