

<b>DOCKETED</b>	
<b>Docket Number:</b>	23-SB-02
<b>Project Title:</b>	SB X1-2 Implementation
<b>TN #:</b>	257248
<b>Document Title:</b>	CEC Gasoline Summer Outlook Workshop Transcript
<b>Description:</b>	N/A
<b>Filer:</b>	Donnie Cox
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	6/21/2024 11:15:14 AM
<b>Docketed Date:</b>	6/21/2024

CALIFORNIA ENERGY COMMISSION

In the matter of:

SB X1-2 IMPLEMENTATION ) Docket No. 23-SB-02  
\_\_\_\_\_ )

GASOLINE SUMMER OUTLOOK WORKSHOP

TRANSCRIPT OF PROCEEDINGS

HYBRID VIA IN-PERSON AND ZOOM

THURSDAY, JUNE 6, 2024

9:00 A.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONER

Siva Gunda, Vice Chair

CEC STAFF

Tai Milder, Director, Division of Petroleum Market Oversight

Jeremy Smith, Deputy Director, Energy Assessments Division

Gigi Moreno, Chief Economist, Division of Petroleum Market Oversight

Aria Berliner, Special Advisor, Vice Chair's Office

PUBLIC COMMENT

Tanya DeRivi, Western States Petroleum Association

Ronald Stein

Jamie Court, Consumer Watchdog

Jan Warren

Nicole Martinez

Michael Saragosa, Latin Business Association

Thomas Walker

Cedric Former, Groundswell

Doug Kessler, Executive Director, Si Se Puede Foundation of Fresno, Tulare, Kings and Kern Counties

INDEX

	<u>PAGE</u>
1. Introductions and Housekeeping	4
2. Comments from the Dais	6
3. Presentation: California Gasoline Supply and Demand Trends Presenter: Jeremy Smith (CEC)	10
4. Presentation: Planned Maintenance and Gasoline Prices Presenter: Dr. Gigi Moreno, Ph.D. (CEC)	38
5. Comments from the Dais	52
6. Public Comment	53
7. Closing remarks	66
Adjournment	75



1 March, 2023 and took effect last June. The law was  
2 designed to protect Californians from experiencing price  
3 gouging at the pump by oil companies. Among other things,  
4 the law provided the CEC with the authority to collect  
5 additional data from the petroleum industry to better  
6 understand the causes of price spikes and provide the  
7 necessary facts to develop policies that prevent  
8 Californians from overpaying at the pump.

9           The purpose of today's workshop is to provide an  
10 overview of gasoline supply, demand, and price trends as we  
11 head into summer. We will present new tools that were  
12 developed to better understand the factors that cause price  
13 spikes. We will present an outlook of gasoline supplies  
14 for 2024 and DPMO will present their observations on the  
15 relationship between refinery maintenance and gasoline  
16 prices.

17           This is the agenda for today's workshop. We'll  
18 start with opening comments from the dais. We're joined  
19 today by Vice Chair Gunda of the California Energy  
20 Commission and Tai Milder, Director of the Division of  
21 Petroleum Market Oversight. We have two staff  
22 presentations, one from myself and then one from Dr.  
23 Moreno, chief economist from the DPMO. And then we'll wrap  
24 up with comments from the dais and public comments before  
25 adjourning.

1           With that, I'll hand it over to Vice Chair Gunda.

2           VICE CHAIR GUNDA: Good morning, everybody.

3 Thank you so much, Jeremy, for getting us started there.

4           I want to just begin by thanking everybody who is  
5 in attendance today for the time that you take to provide  
6 input and track and, you know, help us do the job of  
7 SB X1-2 as well as we can.

8           I particularly want to thank the staff at CEC,  
9 both the staff from DPMO, as well as the EAD, Energy  
10 Assessments Division, where much of the work is happening,  
11 for the dedication over the last 9 to 12 months in really  
12 trying to dig in to the problem of the price spikes and  
13 figuring out both the solutions in the near term, long  
14 term, and, you know, trying to implement them as quickly as  
15 they can.

16           As Jeremy mentioned, today's workshop is  
17 primarily focused on setting the stage of what the outlook  
18 for the summer looks like. It's really a summary of the  
19 findings of the last nine months of work and trying to  
20 figure it out and trying to start the process of having  
21 some semblance of the near future outlook.

22           So much of this work is dependent on the data we  
23 gather. So I want to thank the industry for their  
24 collaboration and openness in providing the information  
25 that we have been collecting to keep the work moving

1 forward.

2           Specifically to the pilot team, I said it at an  
3 oversight hearing recently, I recognize that the CEC staff  
4 have spent, I think almost 15,000 hours, if I'm not wrong,  
5 over the last 9 to 12 months to gather the information,  
6 clean it up and put it out for consumption. For those who  
7 work in data, I recognize, 90 percent of the work in data  
8 gathering is really cleaning the information and making  
9 sure it's aligned and it's consistent and has good  
10 integrity. So really want to commend the staff at both CEC  
11 and DPML for the work that they have been doing.

12           I want to just a stage at a high level in terms  
13 of the California's climate agenda and the importance of  
14 reliability and affordability as we move forward.

15           As Governor Newsom set the stage, as he started  
16 his governorship was really thinking about four broad  
17 themes, which is clean, reliable, affordable, and equitable  
18 energy system. You know, we have been doing a lot on the  
19 clean. And given the climate agenda for California  
20 primarily being electrification, much of the work on clean  
21 has been to both electrify and simultaneously clean the  
22 grid.

23           So as most of you joining today know, we have  
24 crossed the 60 percent threshold on the clean electricity  
25 system and things are looking good. But over the last



1 couple of years and on the second two pieces, which is the  
2 reliability and affordability, on all three energy sectors  
3 that we talk about, natural gas, petroleum and electricity  
4 has been difficult for different reasons, and it is  
5 important. And it's a primary focus for the state agencies  
6 to ensure that this path is going to be reliable and  
7 affordable, and finally, one of the most important pieces  
8 is equitable, that all Californians see the benefit of this  
9 transition equally, and benefit from this, you know, for  
10 the future generations.

11           So overall, the work that this group is doing is  
12 critical for California's transition. It's critical to  
13 create consumer confidence. It's critical to provide trust  
14 in the agencies that we can do work that, you know,  
15 ultimately protects the consumers, and that's the spirit of  
16 SB X1-2.

17           So I am looking forward to this conversation  
18 today, putting more information out there. In the best  
19 form, CEC, you know, from my vantage point is a trustworthy  
20 partner in information and objective partner in policy  
21 options. And that's what I'm proud of CEC doing over the  
22 last nine months with the help of DPMO.

23           And with that, I would welcome the Director  
24 Milder to provide his opening comments.

25           DIRECTOR MILDER:: Thank you so much, Vice Chair.

1 Credits to the Vice Chair. And I want to echo his comments  
2 to CEC staff and DPMO staff. It's especially gratifying to  
3 see DPMO staff here today, many of whom are in the  
4 auditorium. This new division is nearly fully staffed,  
5 which is exciting at this point in time, at this critical  
6 juncture going into the summer.

7 I think for the workshop today, what's really  
8 exciting is that we're seeing new data transparency tools  
9 being deployed for information that we and the public  
10 haven't had before. DPMO's mission is to protect  
11 consumers, and so I'm going to be listening for three sort  
12 of different focus areas in the presentations today.

13 Does this new data shed light on what the drivers  
14 are for price spikes? And if so, what does the state need  
15 to do with that new information?

16 Can we see how industry's choices regarding  
17 maintenance, for example, might impact supply conditions?

18 And then can we also have visibility into what  
19 happens to consumers during price spikes? Where does that  
20 money go? And that's a critical question, I think, as we  
21 listen to the presentation.

22 With that, I'll pause and say that we're looking  
23 forward to both presentations and thank you so much.

24 VICE CHAIR GUNDA: Thank you.

25 Back to you, Jeremy.

1           MR. SMITH: All right, thank you, Vice Chair and  
2 Director Milder.

3           I'd like to start by talking about the data  
4 collection and monitoring activities that the Energy  
5 Assessments Division has been conducting.

6           SB X1-2 provided the CEC with the authority to  
7 collect new data from the petroleum industry to better  
8 understand the causes of gasoline price spikes. We've  
9 created nine new or revised reporting streams, including  
10 spot market transactions, refiner margins, marine imports,  
11 and the timing and impact of refinery maintenance events.  
12 Those last two are especially critical to assessing near-  
13 term gasoline supply conditions.

14           The CEC is analyzing these data streams to inform  
15 several implementation activities and improve transparency  
16 into the transportation and fuels market. We've processed  
17 over 10,000 data files since our new data submission portal  
18 launched in June last year.

19           We've also made substantial efforts to improve  
20 transparency through reporting, including posting monthly  
21 refiner margins data and weekly gas price breakdowns on our  
22 website, in addition to multiple workshops.

23           I'd like to remind everyone of the recent trends  
24 in gasoline prices. This chart shows the average retail  
25 price of gasoline in California in green, the U.S. average

1 price in red, and the difference between those two averages  
2 in blue from January of 2019 to today. Californians  
3 experienced historically high prices of the pump in early  
4 October 2022, nearing \$6.50 a gallon. Unfortunately, this  
5 pattern repeated in late Summer 2023 with prices exceeding  
6 \$6.00 per gallon.

7           There are factors that influence gas prices  
8 across the United States, namely the cost of crude oil.  
9 However, when we observe spikes in the difference between  
10 the California and U.S. price above \$2.00 a gallon, which  
11 are highlighted in the yellow boxes, we recognize this to  
12 be caused by factors isolated to California. This is why  
13 the legislature tasked the CEC with collecting additional  
14 data to explore the underlying causes of price spikes and  
15 design tools to prevent this pattern from repeating again.

16           There are four primary factors that lead to  
17 differences between the price of gasoline in California and  
18 the rest of the United States. First is gasoline demand,  
19 that's how much motor vehicle gasoline is purchased in the  
20 state. Second is refinery production, how much car  
21 gasoline is produced locally in California by nine  
22 refineries. Third is marine imports. That's the volume of  
23 foreign and domestic gasoline brought in by ship. Fourth  
24 is gasoline inventories. This is the amount of slack in  
25 the system available to absorb disruptions in supply.

1           This slide shows the inputs and outputs of CARBOB  
2 on a typical day in California. CARBOB stands California  
3 reformulated blend stock for oxygen at blending, which is  
4 the special reformulated gasoline product produced to meet  
5 California's emission standards. This does not include the  
6 volume of ethanol added to create the finished gasoline  
7 purchased at retail stations.

8           In this example, the system is perfectly  
9 balanced, but in reality, supply goes through periods of  
10 surplus, typically in the winter when demand is lower, and  
11 deficits, typically in the summer when demand is higher.  
12 The balance is managed by large refinery and terminal  
13 storage tanks throughout the state.

14           On the left in this slide are the inputs. Local  
15 refineries process crude to produce roughly 750,000 barrels  
16 of CARBOB each day, which combined with the roughly 45,000  
17 barrels per day of imports, supplies California's demand,  
18 shown on the right, of about 795,000 barrels.

19           Now, before describing what's in this chart, I'd  
20 just like to step through the components shown as the  
21 upcoming slides, we'll reuse this format just to allow to  
22 show annual trends of the different supply components.

23           First, the annual trends presented today all  
24 start ten years ago in 2014. The black line shows the  
25 annual average for each metric. The colored bars represent

1 the range of monthly values observed that year, or the  
2 amount of variation. The bottom of the bar is the minimum  
3 value, and the top of the bar is the maximum value. Taller  
4 bars signify there was more variation in the data, whereas  
5 shorter bars, meaning the data were clustered closer to the  
6 average or less variation.

7 The different colors represent distinct time  
8 periods. 2014 through 2019 are colored blue. This is the  
9 period before the COVID-19 pandemic for which we observe  
10 substantially different supply and demand trends. 2020 was  
11 in many ways an outlier to gasoline supply and demand  
12 trends, and thus is colored gray, both to represent the  
13 break between the pre- and post-pandemic periods, as well  
14 as signify these data are mostly ignored in the  
15 observations we're presenting today. 2021 through 2023 are  
16 shown in green for both the annual trends as well as the  
17 seasonal trends, which we'll look at on the next slide.

18 Finally, make note of the left axis. The metrics  
19 presented are shown in thousands of barrels of CARBOB. If  
20 you'd like to convert any of the metrics from barrels of  
21 CARBOB to gallons of finished gasoline, you can simply  
22 multiply by 46.7. In some cases, such as the one here, the  
23 axis does not start at zero, just to zoom in for a better  
24 view of the trends. These charts will show an arrow in the  
25 bottom corner just as a reminder.

1           Now on to the demand trends. CARBOB demand from  
2 2014 to 2019 averaged 895,000 barrels per day. The annual  
3 average peaked in 2017 at around 914,000. The average  
4 daily CARBOB demand from 2021 to 2023 was 802,000 barrels,  
5 a decrease of about ten percent. The lowest average was  
6 last year, 2023, at 796,000 barrels per day.

7           Another observation is that the average demand  
8 has dropped by about one percent each year from 2021 to  
9 2023 due to population decline, increase in electric  
10 vehicle sales, and other factors. If this trend continues,  
11 2024 demand would average around 782,000 barrels per day.

12           This chart shows the seasonal trend of CARBOB  
13 demand observed over the last three years, which were green  
14 on the last slide. Before diving in, I'd just like to  
15 discuss again how these seasonal trend charts are  
16 structured.

17           The 2021 through 2023 monthly average is again  
18 represented by the black line. The colored bars show the  
19 range observed, this time across the months in each of the  
20 three years. The dark green is June through September,  
21 just calling attention to the upcoming summer months for  
22 which we're focused on today. The red line shows the trend  
23 observed so far in 2024 for whatever data is available.

24           Gasoline demand is highest in the summer months.  
25 From 2021 to 2023, the June through September average was

1 around 823,000 barrels per day, four percent higher than  
2 the remaining months. So far in 2024, gasoline demand is  
3 tracking lower than the average observed over the previous  
4 three years. Again, that's shown in the red line.

5 As I mentioned earlier, gasoline demand in  
6 California has dropped about one percent each year for the  
7 last three years. If we apply that trend going forward, we  
8 could project the gasoline demand this summer. On this  
9 chart, projected gasoline demand is represented by the  
10 dotted red line. The gray bars just represent the minimum  
11 and maximum expected values if we apply that same  
12 variability that was observed in the data over the last  
13 three years. If this trend holds, summer CARBOB demand  
14 this year would be roughly 798,000 barrels per day.

15 Moving on now to gasoline supplies, starting with  
16 refinery production. This chart shows the car Bob  
17 production from 2014 through 2023. The average production  
18 during this pre-COVID era was about 862,000 barrels per  
19 day. In 2020, a refinery converted to producing renewable  
20 diesel, dropping the crude refining capacity in the state.  
21 From 2021 to 2023, production dropped about 12 percent to  
22 758,000 barrels per day.

23 This chart shows the average daily refinery  
24 CARBOB production by month from January, 2021, through May  
25 of 2024. Production ramps up in the spring, peaking in



1 June. The average summer carbide production over the last  
2 three years was 766,000 barrels per day.

3 Looking at the 2024 trend so far, we see the drop  
4 in February due to another refinery conversion to renewable  
5 diesel production. This has resulted in an overall  
6 decrease in refining capacity of about five percent, which  
7 can be observed in the 2024 averages being below the  
8 previous three-year average.

9 VICE CHAIR GUNDA: Jeremy --

10 MR. SMITH: Yeah?

11 VICE CHAIR GUNDA: -- just a quick question.  
12 Kind of as we move forward, we'll just kind of interject  
13 for clarification or for record.

14 The last slide and the slide that you showed on  
15 the production, that includes the variability due to  
16 planned and unplanned maintenance as well?

17 MR. SMITH: Yes. So what we're looking at so far  
18 is all just what actually happened. So there were  
19 unplanned and planned maintenance events, and so these are  
20 included in these charts. All right.

21 If we project that five percent decrease compared  
22 to the last three years, we could estimate refinery  
23 production for this summer. Now this does not utilize any  
24 data the CEC has received on any refinery maintenance  
25 events this summer, as that information is confidential.

1 This projection simply assumes that refinery utilization  
2 rates, as the Vice Chair was just alluding to, to just  
3 match that of the last three years while also subtracting  
4 the five percent loss in refining capacity. If this trend  
5 plays out, summer CARBOB production would be about 728,000  
6 barrels per day.

7           The last component of gasoline supply is marine  
8 imports. These figures represent the average daily volume  
9 of foreign and domestic gasoline imports, not including  
10 blending components. Blending components are not included  
11 as those are typically received by the refineries and show  
12 up through the production metrics as they're used.

13           This chart shows the annual average imports from  
14 2014 to 2023. The average daily import rate from 2014 to  
15 2019 was about 34,000 barrels per day. From 2021 to 2023,  
16 that increased 61 percent, averaging 55,000.

17           Looking at the monthly trends of marine imports  
18 over the last three years, we see somewhat at similar  
19 levels in the summer versus non-summer months. We do  
20 observe an increase from the beginning to the end of the  
21 summer. The average from June through September over the  
22 last three years was about 54,000 barrels per day.

23           Looking at the 2024 trend thus far, we see  
24 imports are on average about 23 percent higher than the  
25 last three years, particularly last month in May. This is

1 not too surprising that imports have increased since the  
2 refinery conversion in February. If we project that 23  
3 percent increase throughout the rest of the summer, we  
4 might expect around 67,000 barrels per day of foreign and  
5 domestic gasoline imports this summer.

6 VICE CHAIR GUNDA: Jeremy, I also want to just,  
7 for the record and clarity, these import numbers are import  
8 of fuel coming from outside California?

9 MR. SMITH: Correct. Foreign and domestic  
10 imports of gasoline. And again, just extrapolating the  
11 observed trends that we've seen thus far. So this is not  
12 based on any real data that we've collected about incoming  
13 imports.

14 VICE CHAIR GUNDA: And at this point, CEC is not  
15 attempting to forecast, you're just using trends at this  
16 point?

17 MR. SMITH: Right, this is not, yeah, this is not  
18 a sophisticated forecast. This is just merely observing  
19 the, you know, trends. Has it gone up or down? And if we  
20 just continue that same trend forward, what would that  
21 estimate, you know, to be.

22 VICE CHAIR GUNDA: Thank you.

23 MR. SMITH: All right, as I mentioned earlier,  
24 gasoline inventories are used to balance the system, being  
25 drawn down whenever there is a supply deficit and filling

1 back up whenever there's a surplus. This chart shows the  
2 average annual inventory of reformulated gasoline in PADD  
3 5. That's the West Coast district, which includes  
4 California, Oregon, Washington, Nevada, Arizona, Alaska,  
5 and Hawaii. In general, inventory levels have not changed  
6 much over the years, although we do see a slight increase  
7 in 2021 through 2023 compared to before 2020. However, we  
8 observe a downward trend in inventories over the last three  
9 years.

10 When we look at seasonal trends of gasoline  
11 inventories, we see buildup and overall higher levels  
12 outside of the summer months. We also observe inventory  
13 drawdown in the second half of summer as demand peaks.  
14 2024 inventory levels so far are similar to recent years,  
15 just slightly below the average. We do note the April 2024  
16 drop in inventories, which aligns with the increase in  
17 gasoline prices experienced that month. Inventories have  
18 since begun building back up and with it, we've seen a  
19 decrease in gasoline prices.

20 I also want to point out that September 2022 had  
21 the lowest observed inventory levels over this period,  
22 which also coincided with the price spike that approached  
23 \$6.50 a gallon.

24 Again, this is not a sophisticated forecast, but  
25 if we just project out that two percent decline in ARBOP

1 inventory levels on the West Coast, we might expect stocks  
2 to follow the dotted red line shown here with a similar  
3 drawdown in the second half of summer as gasoline demand  
4 peaks.

5           This table summarizes the annual CARBOB supply  
6 and demand trends presented thus far. Comparing the 2014  
7 to 2019 and 2021 to 2023 periods, we see the decline in  
8 refinery production of about 104,000 barrels per day. We  
9 also see an increase of about 21,000 barrels per day of  
10 gasoline imports. Finally, we see a decline in gasoline  
11 demand in California of about 93,000 barrels per day.  
12 Overall, all this results in a net increase in annual  
13 supply balance over the last three years compared to 2014  
14 to 2019.

15           Of critical importance, however, are the trends  
16 we observe in late summer, as that has been the period in  
17 which we've experienced the greatest imbalance in supply  
18 and demand that can lead to price spikes. This table  
19 compares the average supply and demand from September in  
20 2021 through 2023 to the projected values for 2024, again,  
21 based on recent trends. Once again, the projections are  
22 not based on any specific data on upcoming refinery  
23 maintenance events, incoming gasoline imports, confidential  
24 or proprietary data. These projections are simply carrying  
25 forward recently observed trends in the 2021 through 2023

1 timeframe.

2           There is significant variability in these  
3 estimates, and it is highly likely that one or more these  
4 projections are either too high or too low. The balance at  
5 the bottom of the table shows a negative number for both  
6 the 2021-23 and the projected 2024 September's. This  
7 simply means that demand exceeds supply and we would expect  
8 inventory levels to be drawn down in late summer as we saw  
9 in the previous slides. However, the observed trends do  
10 show the likelihood of there being less of a supply  
11 imbalance this year than in previous years due to increased  
12 rate of imports and reduced demand.

13           VICE CHAIR GUNDA: Jeremy, just want to make sure  
14 that we're hearing this right. So overall, when you look  
15 at -- I'm going to leave the inventories out for a second  
16 and just look at the imports and the in-state production,  
17 on an annual balance, we seem pretty well balanced. It  
18 comes to the situation where, you know, when you look at a  
19 critical peak month, the balance is off, and this points to  
20 the importance of having enough inventories.

21           MR. SMITH: That's exactly right. And so what I  
22 mean on an annual basis is that the infrastructure, the  
23 system that we have in place is sufficient to meet demand  
24 in California. But when you get to that critical time  
25 period when refinery production does not exceed demand, we

1 need an increased level of imports. That's where, again,  
2 those inventories being high to be able to be drawn down  
3 are really critical to preventing price spikes in late  
4 summer.

5 All right, with that, I'd now like to share some  
6 of the analysis tools that we've developed, thanks to the  
7 new data collected under SB X1-2.

8 This graph shows three different gasoline price  
9 trends from 2019 to today. The top dark blue line is the  
10 average daily retail price of gasoline in California, which  
11 we saw at the beginning of the presentation. This is the  
12 price consumers pay at the pump. We again see the price  
13 spike events highlighted in yellow.

14 But rather than comparing the price in California  
15 to the U.S. price, this time we see the average CARBOB spot  
16 market price in light blue. The spot market is where  
17 market participants buy and sell large volumes of petroleum  
18 products. The spot market price influences the cost of  
19 wholesale gasoline, which is then passed on to the price  
20 drivers pay at the pump. In short, when the spot market  
21 price spikes, retail prices spike soon after.

22 Finally, the green line towards the bottom  
23 represents the New York Mercantile Exchange, or NYMEX, RBOB  
24 price. The NYMEX is used as a basis for pricing CARBOB  
25 spot market transactions. This is called the price basis

1 differential, and it's really important. Essentially, this  
2 is the difference in the valuation of NYMEX RBOB and the  
3 CARBOB traded here in California.

4           When gasoline supplies are healthy, this  
5 differential could be \$0.25 cents or less. The  
6 differential increases when supply conditions in California  
7 tighten. We observe this differential increasing, or when  
8 the light blue line separates from the green line, when we  
9 have experienced the price spikes in the past, which you  
10 can again see in those yellow boxes.

11           So if it's so important to observe the spot  
12 market price when understanding price spikes, then what are  
13 the normal drivers of the gasoline spot price?

14           First, simple supply and demand fundamentals play  
15 a key role in the spot market price, the same trends we  
16 looked at before, refinery production, foreign and domestic  
17 imports, and demand. Gasoline stocks play a key role, too,  
18 as they manage the imbalances in supply and demand. When  
19 supply exceeds demand, inventory levels increase. Vice  
20 versa, during a supply deficit, inventories are drawn down  
21 to meet demand.

22           And finally, when inventories are drawn down too  
23 far, there's little room to manage supply deficits. During  
24 these periods, market participants that are short on fuel  
25 bid up the price in the spot market to fulfill their



1 contractual obligations, causing price escalations.

2 I'm sure everyone here wanted to see an equation,  
3 so here you go. In order to better understand the supply  
4 conditions that lead to these price escalations, we worked  
5 with our consultants at ICF to develop a gasoline price  
6 model using a forward days of supply metric. Essentially,  
7 this is a way of taking the supply and demand data trends  
8 to measure market tightness. The slack in the system is  
9 referred to as days of supply, or DOS, representing the  
10 number of days of current demand that can be met with the  
11 available supply.

12 This equation shows how we calculate the days of  
13 supply metric. We take the most recent gasoline inventory  
14 levels and add the expected buildup or drawdown of  
15 inventories over the next few weeks. Then we divide that  
16 by the average daily demand to arrive at days of supply.

17 This slide shows how the expected supply balance  
18 is calculated. We take the average supply and demand  
19 balance over the last three weeks, sort of as a rolling  
20 average, which is the difference between refinery  
21 production and demand, then subtract any refinery outages,  
22 increases or decreases in imports or supply additions  
23 expected over the next two weeks. An example of a supply  
24 addition is the switch from summer to winter spec gasoline,  
25 which with the additional butane increases the effective

1 supply.

2           This table shows the data sources that were used  
3 to develop this model. We currently use PADD 5 RBOB stocks  
4 from the U.S. Energy Information Administration to  
5 represent gasoline inventories. We use California Gasoline  
6 Sales and the California Department of Tax and Fee  
7 Administration for demand. Refinery production and  
8 expected supply changes come from various CEC data  
9 collection efforts. And the California spot and NYMEX  
10 prices come from various market reporting entities.

11           If we fit a relationship between the forward days  
12 of supply metric and the spot market differential, we  
13 notice a strong correlation. The light blue and dark blue  
14 dots on this chart are the observed price spread versus the  
15 days of supply metric for the summer weeks in 2022 and 2023  
16 respectively. Starting from the righthand side of the  
17 chart, as the days of supply metric falls the price spread  
18 to the NYMEX increases. There's a flat relationship down  
19 to an inflection point of around 15 days of supply. Below  
20 this point we see an exponential potential increase in the  
21 price spread as days of supply falls.

22           If we think about this more generally from a  
23 situational awareness perspective, so long as days of  
24 supply remain above 15, there is a low risk of price  
25 spikes. If days of supply drops to between 13.5 to 15,

1 we're nearing conditions that lead to price spikes. Once  
2 days of supply falls below 13.5, the price spread soars.

3 Another way of representing this is to look at  
4 the same Summer 2022 and Summer 2023 data, this time on the  
5 timeline. The light blue line on both charts represents  
6 the CARBOB versus NYMEX price spread in cents per gallon.  
7 That's the actual price spread.

8 There's a clear inverse relationship between  
9 these two metrics. As days of supply again drops below 14  
10 or 15, we observe a sharp increase in that price spread.  
11 Notably, the days of supply metric dropped below 12 in  
12 summer of 2022 when we had the greatest price spike. The  
13 days of supply metric did not drop quite as low in 2023,  
14 and the price spread did not increase quite as high.

15 VICE CHAIR GUNDA: Jeremy, can I request a quick  
16 kind of explanation here?

17 I think you impressed upon me in some of the  
18 meetings we had, could you just talk about how the  
19 analytical framework that we have right now, you know, that  
20 has been developed kind of continues to normalize or  
21 changing demand and conditions, so you could still anchor  
22 some of the discussion on the days of supply because it's a  
23 normalized value? Could you just comment on that one?

24 MR. SMITH: Yeah, absolutely. That's why it's so  
25 critical that in that equation, we talked about how we

1 solve for days of supply. It's always divided by what  
2 current demand is. And so that days of supply metric  
3 allows us to go back in time, as far back as you want, take  
4 those refinery productions and import levels and  
5 inventories and divide by whatever demand was then, and we  
6 can learn from that.

7           And then we can also use the same approach as we  
8 continue forward, as demand continues to drop, as refinery  
9 production and imports change, as inventory levels change,  
10 that days of supply metric is consistent. That scale by  
11 which we -- you know, that comfort zone or what those  
12 levels need to be will be consistent. So the metric, the  
13 situational awareness will not change.

14           VICE CHAIR GUNDA: Yeah, just another follow-up  
15 question on that one.

16           So you kind of talked about potentially using the  
17 model to go all the way back to ten years and then continue  
18 to look at the fit. And one of the things I think I heard  
19 from you was you could begin to observe the temporal  
20 relationship of the DOS metric; right? So, you know, given  
21 the changing market conditions, has the inflection been  
22 happening at different times?

23           And so could you comment on, you know, what  
24 additional insights could be gathered over time, you know,  
25 with more and more information as we look back on the

1 system?

2 MR. SMITH: Yeah. I do have a slide actually  
3 coming up where I talk about all the different improvements  
4 that we're looking to make so that we can just gather even  
5 more information and better understanding of the underlying  
6 causes of price spikes and how price changes with these  
7 different supply and demand components.

8 But in short, I mean, when we look back at the  
9 history, we focused solely on periods where we experienced  
10 price spikes, namely 2019, 2022, and 2023, but the trends  
11 do still hold in the other years. And really what it comes  
12 down to is, again, we arrive at that 15 days of supply  
13 metric is always that point at which we see price increases  
14 go up. When we get below that number and when we're above  
15 15, that tends to just be a flat, you know, relationship  
16 between the NYMEX price and we don't experience retail  
17 price spikes either.

18 VICE CHAIR GUNDA: Thank you. I'd just like one  
19 last clarifying thing. So given that, you know, not  
20 everybody uses the same equation, right, but I think what  
21 gives me comfort is there is an observable relationship to,  
22 you know, what happens in the marketplace; right?

23 So I'm guessing, you can add to this or maybe  
24 it's just a comment. So no matter, you know, whether the  
25 traders are looking at this information slightly

1 differently, you know, an industry player might be looking  
2 at differently, but everybody's trying to observe this  
3 relationship using different parameters and kind of seem to  
4 arrive at some decision-making process that continues to  
5 keep this relationship hold; is that accurate to say?

6 MR. SMITH: Yeah. What I'll say is, and I could  
7 go back to the equation, but it's just to speak to it  
8 broadly, I mean, the inventory component of the days of  
9 supply metric is by far the greatest influence.

10 I mean, just for rough numbers, I mean, if  
11 inventory levels in the PADD 5 that we observed looking at  
12 this are in the order of like, you know, 13 and a half  
13 million or something like that, and then you remember the  
14 numbers I'm talking about, supply and demand balances are  
15 in the hundreds of thousands or at least under 1 million,  
16 clearly the 13 million portion of that is going to have a  
17 really big influence. And when we talk to other market  
18 participants in the industry, I mean, they essentially just  
19 look at what inventory levels are, and that's a really good  
20 indication.

21 The only reason we go a little bit further is all  
22 the new data that we are collecting allows us to refine it  
23 just a little bit more, have a little bit more forward  
24 visibility, but also understand how much those other  
25 factors besides just inventory influence the price. So,

1 you know, it's just, again, part of trying to learn and  
2 expand our understanding of what causes price spikes.

3 All right, so if we use the model, this days of  
4 supply model, to back cast the spot price spreads, we can  
5 see how accurately the days of supply metric, looking at  
6 recent and upcoming supply and demand balances, predicts  
7 the actual price spread.

8 In these charts, the solid light blue line is,  
9 again, the actual observed price spread between the  
10 California spot market price and the NYMEX price, while the  
11 dotted line is the model predicted price spread using the  
12 days of supply metric. We observe a close correlation  
13 between the actual and predicted price with this model.

14 The main exception is in the chart to the right.  
15 In September of 2023, the model predicted a price spike  
16 earlier than it actually occurred due to reduced inventory  
17 levels in Arizona, an unfortunate result of using PADD 5  
18 inventories rather than California-specific stocks. But  
19 I'll talk to upcoming improvements to the model in just a  
20 minute.

21 We're planning to incorporate several  
22 advancements to the gasoline price model to improve its  
23 predictive capabilities.

24 First, as I just said, we plan to replace the EIA  
25 PADD 5 inventory data with weekly California refinery and

1 terminal storage inventories to hone in much more  
2 specifically on California.

3 We recently adopted new marine imports reporting  
4 requirements and we'll incorporate that data to improve  
5 future visibility. We're working to resolve the gap in  
6 reporting of gasoline sales that represents our demand  
7 component by calculating the weekly apparent demand. This  
8 is essentially using the weekly refinery production, the  
9 imports, and inventory increase or decrease to then just  
10 simply estimate what weekly demand was.

11 Finally, we're planning to develop separate  
12 models for northern and southern California, as well as for  
13 summer and non-summer months, even outside of price spike  
14 events.

15 All right, so next I'd like to combine the recent  
16 supply and demand trends and the 2024 projections with the  
17 days of supply modeling to discuss how the summer supply  
18 outlook could look like.

19 This chart shows the average annual forward days  
20 of supply metric for 2014 to 2023. Perhaps surprising is  
21 the fact that the average days of supply metric is higher  
22 in 2021 to 2023 at 17.3 than it was in 2014 to 2019 at  
23 14.8. And this is just an annual average. While the  
24 refinery production has decreased, the combination of  
25 increased marine imports and lower gasoline demand as



1 elevated days of supply.

2           We've run preliminary tests of this model in  
3 other PADD districts and found PADD 5, and California  
4 specifically, tend to have higher average days of supply  
5 metrics. Higher inventories relative to demand could be  
6 strategic due to the limited number of refineries, the lack  
7 of significant third-party storage, and pipeline  
8 distribution hubs compared to the Eastern half of the  
9 United States. Days of supply are similarly high in PADD  
10 4, which also lacks major logistics hubs.

11           Looking now at the days of supply trend by month  
12 for the last three years, we see a trend very similar to  
13 the gasoline stocks. Again, as we talked about inventories  
14 being just the greatest influence of the days of supply  
15 metric, we see higher days to supply levels in the non-  
16 summer months and drawn down in late summer, and then again  
17 rebuilding in winter.

18           You can also see in purple text, the days of  
19 supply metric that was calculated for Summer 2021, 2022,  
20 and 2023. So that's '22 at the bottom at 12.6. Just  
21 slightly above that is September 2023 at 13.1. And then  
22 all the way up at the top there is September 2021 at 17.7.  
23 That summer, we did not have a price spike.

24           Notably, the days of supply metric is very low.  
25 The last two years we experienced price spikes, as I said,

1 and then much higher when we do not. Also note in the 2024  
2 trend thus far, represented by the red line, that the days  
3 of supply metric dropped to 14.8 in April of this year when  
4 we experienced a significant price elevation for many  
5 weeks. Prices have since dropped, which align with the  
6 higher days of supply seen in May.

7 VICE CHAIR GUNDA: Jeremy, can I just kind of ask  
8 for a clarification, if we can go back to the previous  
9 slide? And I think it took me a little bit, you know, to  
10 kind of completely internalize this, so I think it'd be  
11 helpful for the public and the stakeholders who are  
12 listening.

13 So on an annual basis overall, there has been a  
14 trend to double up higher inventories in certain months.  
15 So you see an average over the year pulled up. But that  
16 pull-up is not consistent with the actual needs of the  
17 system on a monthly basis. And so the next chart that you  
18 have kind of shows that we have elevated days of supply in  
19 some months, which is bringing the annual average up, that  
20 the days of supply metric is actually falling below just as  
21 the demand is peaking.

22 MR. SMITH: That's right.

23 VICE CHAIR GUNDA: But could you just kind of,  
24 you know, emphasize that? I think that's helpful for  
25 everybody to kind of have that awareness as the market, you

1 know, tries to think through the setups, yeah.

2 MR. SMITH: Yeah, absolutely. I mean, it's  
3 really difficult to just look at the annual number because  
4 it really doesn't fall at that level very often. It's  
5 really, the winter months were above that and then the  
6 summer months were below that and then it just averages out  
7 to be somewhere in the middle. We really don't spend very  
8 long throughout the year at that 17.3.

9 And that's the critical piece is that we can be  
10 at 17.3 or we could be at 25 and we're all in territories  
11 that we would avoid price spikes. But if we can't hold  
12 days of supply that high, like we do in the winter months,  
13 as we head into summer, then we get into that tightness,  
14 you know, market tightness that leads to price spikes.

15 And so that's why we see, you know, in the last  
16 three years that I show on this chart, right, we start at  
17 24, 25, even though the average is 17. But as we dip, that  
18 number just continues to go down later and later into the  
19 summer, as we rely on inventories to, you know, make up the  
20 difference, that deficit we have in supply. And so we  
21 continually drop down below nearing that, you know, 14, 15  
22 consistently by the end of summer, and then again rise back  
23 up again afterwards.

24 Again, if you can think, you know, conceptually,  
25 days supply is really just a slightly more sophisticated

1 way of estimating the impact that inventories have on  
2 price, as that really is the major driver, the component in  
3 that metric. Okay.

4 All right, so if we use the projected supply and  
5 demand trends for the Summer 2024 that I've presented  
6 earlier, we can estimate the days of supply metric for this  
7 summer. Once again, I'd like to point out that these  
8 projections are based solely on extrapolating recently  
9 observed trends and are not based on any upcoming refinery  
10 production, imports, confidential or proprietary data.  
11 This is simply an assessment of how the supply and demand  
12 balance currently observed compares to that of recent  
13 years.

14 If these trends continue, we believe the days of  
15 supply metric will be somewhere around 15.0 in September of  
16 2024. We can't say or predict with much certainty that we  
17 will not experience a price spike this summer due to other  
18 factors, including unplanned refinery maintenance,  
19 increasing crude oil prices, or really anything else.

20 All right, with that, I'd just like to close out  
21 my presentation by discussing one final topic and that's  
22 gasoline inventory programs.

23 As I pointed out, you know, the inventory levels  
24 are really critical at keeping the days of supply metric  
25 high. And so that's a really natural place to start when

1 we look at, you know, preventing price spikes.

2           So again, recognizing just how critical it is to  
3 maintain a sufficient days of supply or slack in the  
4 system, to preventing price spikes, the CEC is  
5 investigating ways to maintain higher inventory levels in  
6 the state. Naturally, we've looked at other countries that  
7 have implemented similar programs to see how those have  
8 been implemented.

9           For example, EU countries must maintain emergency  
10 stocks of crude oil and petroleum products equal to at  
11 least 90 days of net imports or 61 days of consumption,  
12 whichever is higher. Germany's Petroleum Stockpiling  
13 Association keeps reserves of roughly 60 percent crude oil  
14 and 40 percent finished petroleum products to meet that  
15 metric. The UK also has a petroleum reserve program that  
16 requires inventories of 22 days of supply be held. The UK  
17 does not have a nation-owned inventory system, but rather  
18 imposes inventory obligations on commercial entities.

19           Again, we'd just like to observe how other  
20 programs have been implemented and consider those as ways  
21 that we might help shape a program to help prevent price  
22 spikes here just through increasing slack in the system.

23           All right, so that concludes my presentation.  
24 I'd just like to thank the staff of the Transportation  
25 Fuels Market Unit and the Energy Assessments Division for

1 all their hard work supporting our data collection and  
2 analysis efforts. I'd also like to thank ICF for their  
3 support in developing the gasoline price model.

4 With that, I'd like to introduce our next  
5 presenter, Dr. Gigi Moreno, Chief Economist of the Division  
6 of Petroleum Market Oversight who's joining us today on  
7 Zoom.

8 VICE CHAIR GUNDA: Thanks, Jeremy.

9 Before we have Dr. Moreno kind of jump in, I just  
10 want to say I'm incredibly grateful I am for the work that  
11 has been done. Thank you for your leadership, Aleecia's  
12 leadership. And I know how hard the staff are working  
13 behind the scenes. I see some of them here, not going to  
14 name names, but just, you know, just a big thank you.

15 As we get into this, and I think I want to  
16 continue to remind ourselves about some core objectives  
17 that, you know, Director Milder mentioned, that the core of  
18 all this is to ensure that we're protecting the consumers.  
19 And there is nothing more helpful than transparency. And I  
20 remember two years ago when we were having the price spikes  
21 and we were asked, can you explain what's going on, and  
22 there was really nothing that we could offer. And the  
23 expertise that Director Milder brought, especially with his  
24 years of experience and how we're able to lean on that  
25 expertise, and just the data and that ability to build up

1 these resources, and as definitely to both the consultants  
2 ICF and Stillwater for their help, Dr. Zaragoza-Watkins,  
3 who has been helping us.

4 But also I just want to say, thanks to the  
5 industry to the extent that you're able to help provide  
6 this visibility, it's incredibly helpful for us.

7 So thank you to everybody for the work and look  
8 forward to Dr. Moreno's presentation.

9 And I would just want to observe on the Zoom, you  
10 can see chats, the team chats, if you could just keep that  
11 off. Thank you.

12 MR. SMITH: Dr. Moreno, over to you.

13 DR. MORENO: Great, thank you. All right, can  
14 everyone see my screen? Wonderful.

15 Good morning, everyone. My name is Gigi Moreno,  
16 and I am the Chief Economist at the Division of Petroleum  
17 Market Oversight at the California Energy Commission.  
18 Thank you for being here today.

19 Jeremy talked about the drivers of gasoline  
20 prices. Today, I will focus specifically on the  
21 relationship between planned maintenance, gasoline  
22 production and prices. Today I will review the SB X1-2  
23 transparency tools. Using the data we've been collecting  
24 over the past nine months or so, I will share a  
25 retrospective of the 2023 gasoline market. I will then

1 share insights about the preliminary data we have gathered  
2 under SB X1-2.

3           Before I jump into the meat of my presentation, I  
4 recognize that I'm new to the state scene and I would like  
5 to properly introduce myself. I started at DPMO about  
6 three months ago, and prior to that I was a senior  
7 economist at the Southern California Association of  
8 Governments. I have a PhD in Agricultural and Natural  
9 Resource Economics from UC Berkeley. And my experience  
10 spans three key areas underlying DPMO's mission.

11           I worked in the private sector for about 15 years  
12 where I focused on understanding firm behavior and using  
13 statistical and economic tools to measure market behavior  
14 and outcomes. In fact, I worked on several consulting  
15 engagements on behalf of petroleum industry organizations  
16 such as Exxon and WSPA.

17           I also have experience in academia where I taught  
18 environmental economics and applied econometrics, and I  
19 researched water resource reliability and climate change  
20 mitigation policy. In my public sector and policy  
21 experience, I have focused on developing equitable regional  
22 economic growth strategies and measuring transportation  
23 policy impacts on communities and local businesses.

24           This experience gives me a well-rounded view of  
25 the challenges we face in our transition to a low-carbon



1 economy and the strategies for protecting consumers,  
2 businesses, and our economic growth.

3           On a more personal level, I am based in Southern  
4 California and I do spend most of my time, my free time,  
5 with my two boys. I have a little guy, and he's an  
6 aspiring hockey star. And I do have an adult son who is  
7 currently using his economics degree to save lives in  
8 Ukraine.

9           So now that you know a little bit about me, I  
10 would like to share with you some of the things we have  
11 learned with the data we've been collecting.

12           As of March 2024, California refineries had crude  
13 refining capacity of about 1.5 million barrels per day.  
14 The top four firms in our industry controls 90 percent of  
15 refining capacity. In economic terms, we say that the  
16 four-firm concentration ratio in California's refining  
17 sector is 90 percent. So California's refining sector is a  
18 highly concentrated market.

19           An industry is generally considered competitive  
20 when the top four firms control at most 40 percent of  
21 industry production. Now for comparison, in the rest of  
22 the U.S., that is excluding California refining, the  
23 patrolling refining industry four-firm concentration ratio  
24 was 46 percent in 2023, the latest year the data are  
25 available. So a four-firm concentration ratio of 90

1 percent means that firms in this sector have market power.  
2 In such highly concentrated industries, firms are more  
3 likely to exercise that market power and influence price.

4           Highly concentrated industries have a high risk  
5 of coordination and collusion. Just all the incentives are  
6 in place for that. The petroleum industry in California  
7 needs active oversight to promote competition and to  
8 protect consumers, as is the case in other highly  
9 concentrated markets, such as telecommunications, airlines,  
10 pharmaceuticals, and utilities.

11           In an increasingly concentrated market, decisions  
12 about reduced refinery output will have a bigger impact on  
13 prices. and understanding the effects of planned  
14 maintenance is important because refiners control the  
15 timing of maintenance and the magnitude of the resulting  
16 reduction in supply of gasoline.

17           SB X1-2 authorized the California Energy  
18 Commission to collect data from refiners about their  
19 maintenance and the resulting supply disruptions. Since  
20 about mid-2023 the CEC has collected this new maintenance  
21 data, which will help us understand the relationship  
22 between refinery maintenance and prices.

23           (Clears throat.) Excuse me.

24           In 2023, refiners chose to conduct plant  
25 maintenance during the summer CARBOB season. As Jeremy

1 explained, that is when there is lower production capacity  
2 than in the winter months, the winter CARBOB season. And  
3 during the summer months gasoline demand is at its peak and  
4 we're more likely to see price spikes due to the already  
5 tight summer supplies.

6 As we have learned from the new data collection  
7 efforts, the industry provided little supplies from outside  
8 California to mitigate the impacts of reduced gasoline  
9 production during planned maintenance.

10 And I apologize with the noise in the background.  
11 I didn't realize there would be gardening work done while  
12 I'm presenting.

13 So planning maintenance during the summer CARBOB  
14 season contributes to supply disruptions and price  
15 volatility. Constrained supplies and price volatility not  
16 only create a significant burden for consumers and  
17 businesses dependent on transportation fuels, but also  
18 makes the market more susceptible to manipulation. In  
19 general, a highly concentrated industry with constrained  
20 supplies, high volatility provides fertile ground for  
21 market participants to discreetly manipulate supplies and  
22 prices.

23 As this industry becomes more concentrated, the  
24 market becomes more sensitive to decisions to intentionally  
25 restrict supply through planned maintenance. Under

1 SB X1-2, CEC started collecting data from refiners, and  
2 these data will help us understand and assess whether the  
3 supply constraints are due to true resource scarcity or  
4 actions controlled by market participants.

5 So let's focus on the maintenance outage data  
6 collected from refiners. The CEC asks refiners to provide  
7 information about the timing of maintenance and the impact  
8 on supplies due to maintenance events.

9 We also collect information about resupply plans  
10 for the planned loss production. So it is important to  
11 distinguish between the supplemental supplies from imports  
12 to the state and the in-state supplemental supplies. While  
13 some refiners may resupply their own shortages by  
14 purchasing from other in-state sources, this does not  
15 change the supply constraints created by planned  
16 maintenance. In-state resupply simply moves supplies from  
17 one refiner to the other leaving the constrained state  
18 level supplies unchanged. Imported resupply has a real  
19 increase in supply and mitigates the supply constraints  
20 from the plan maintenance.

21 So we are using the new transparency tools  
22 authorized by SB X1-2 to better understand factors refiners  
23 control.

24 Next, I would like to share with you some  
25 observations from data we've collected in the past year.

1 The data I discuss today are preliminary and based on  
2 industry submissions. I would also like to emphasize that  
3 the data relied on were aggregated and anonymized and are  
4 about the industry as a whole and not about any specific  
5 market participant.

6 I'm going to pause for a second, and I'm going to  
7 try to see if I can mitigate the noise that's in the  
8 background. Hold on.

9 DIRECTOR MILDER: Dr. Moreno, as you're doing  
10 that, we're actually not picking up very much noise here  
11 from your audio.

12 DR. MORENO: All right. Sorry about that. Okay.  
13 So I shall continue.

14 DIRECTOR MILDER: Yeah, just -- Dr. Moreno, you  
15 may have stepped away as I noted this. Here in the  
16 auditorium, we're not hearing background noise --

17 DR. MORENO: Okay.

18 DIRECTOR MILDER: -- so it's not really a major  
19 concern from our perspective.

20 DR. MORENO: Okay. Great. Thank you very much.  
21 So I'll relax about that. All right, I guess Thursday's  
22 gardening day.

23 All right, so now let's recall what happened in  
24 the retail gasoline market and hopefully it doesn't  
25 traumatize anyone in here. So let's recall what happened

1 in the retail gasoline market in 2023.

2           So this chart plots the average daily price per  
3 gallon for gasoline from January 1st to December 31st,  
4 2023. We see that from about April to July, prices  
5 fluctuated a little bit, that's normal, but were generally  
6 stable. Between April 1st and July 24th, the average  
7 summer CARBOB price was \$4.86 per gallon. At the end of  
8 July, prices started climbing, and they climbed for 70 days  
9 to a peak of over \$6.00 per gallon, a peak for the year.  
10 And it's also a historical high.

11           Now, in late September, Governor Newsom  
12 authorized an early switch to the winter CARBOB blend and  
13 we then observed prices falling slowly. Prices remained  
14 elevated for an additional 35 days until they returned to  
15 historical trends around \$4.50 per gallon.

16           Now, let's explore the supply impacts of planned  
17 maintenance in the second half of 2023.

18           So between June 27th and December 23, when CEC  
19 started collecting maintenance data, refiners reported an  
20 aggregate loss of 322 million gallons of gasoline  
21 production to plan maintenance. And they also reported,  
22 refiners also reported on aggregate, 58, almost 59 million  
23 gallons of supplemental supply, so a much smaller  
24 supplemental amount of gasoline. The net effect of the  
25 planned maintenance was a loss of 263 million gallons of

1 gasoline, or approximately a week's worth of gasoline  
2 consumed during the summer in the entire state of  
3 California.

4           How did this reduction in supplies lead to a  
5 price spike at the pump?

6           The gasoline spot market plays an important role  
7 in determining the price of the pump. The spot price for  
8 gasoline is the basis for pricing downstream in this  
9 industry and therefore impacts a large volume of sales  
10 statewide at bulk, rack, and retail levels, and wholesale  
11 to retail contracts may be indexed to the spot price. This  
12 in turn determines the price of the pump.

13           So when spot markets are operating properly, they  
14 provide a signal about current supply and demand conditions  
15 for delivery-ready fuel. And when I talk about properly  
16 operating or well-functioning spot markets, what I'm  
17 referring to is a market that exhibits qualities of a  
18 competitive market that is no market power, many supply,  
19 many buyers and sellers, complete information, no  
20 externalities.

21           So this chart shows the Los Angeles-New York spot  
22 price differential between June and October of 2023.  
23 Between June and late July, the spot price fluctuated. But  
24 then in early August, when planned maintenance was expected  
25 to start, we see an increase in the price. The spot price

1 continues to shoot up and continues this steep ascent.

2           And in a well-functioning market, this price  
3 increase should signal to suppliers to produce or import  
4 more fuel. This appears to not be reflected here as we  
5 observe this price to continue to increase and to continue  
6 to spike even after planned maintenance had started, which  
7 suggests that this spot market may be -- may not be -- may  
8 be signaling in a distorted way.

9           Now in September 2022 -- I'm sorry, On September  
10 22nd, 2023, in a public letter to Governor Newsom, DPMO  
11 called out an irregular spot market transaction and noted  
12 that spot prices remained elevated despite there being no  
13 new trades. After DPMO engaged with market participants,  
14 the market started to stabilize, but then increased again.

15           Now, on September 27th, Governor Newsom  
16 authorized an early switch to winter CARBOB. We then  
17 observe a precipitous drop in prices, and this is  
18 consistent with an instantaneous increase in supplies due  
19 to the switch to winter blend, as Jeremy explained.

20           California gasoline spot markets are thinly  
21 traded with few participants. We observed here in 2023 a  
22 single trade that led to a painful price spike and elevated  
23 prices for extended periods of time. This market needs  
24 oversight to ensure that we have market integrity and to  
25 protect against manipulation that ultimately harms



1 consumers and businesses that rely on transportation fuels.

2           So now let's focus on September 2023. The retail  
3 price spike centered in the month of September, and this  
4 was driven in part by the planned maintenance via the spot  
5 market the way I explained in my previous slide. But, of  
6 course, other factors were in play, including unplanned  
7 maintenance.

8           Now, planned maintenance during the summer months  
9 when CARBOB's supply is lower and demand for fuel is at its  
10 peak is not a good time to have lost capacity, but this is  
11 what we observed in this market. In September alone,  
12 planned maintenance resulted in a loss of 65 million  
13 gallons of gasoline. Refineries reported 4.6 million  
14 gallons of supplemental imports. And we ended up with a  
15 net loss of gasoline of about 60 million gallons or about  
16 two days of gasoline supply.

17           This type of shorted market creates conditions  
18 where opportunistic traders will try to artificially  
19 inflate prices, something that we have observed in the  
20 California market on multiple occasions before during  
21 maintenance. And this time, this this sort of thing  
22 appears to be happening as well.

23           So how did this September -- this price spike in  
24 '23 affect refiners retailers and consumers?

25           In this chart I have plotted the spot price, the

1 L.A. spot price, the retail price, the daily retail price,  
2 and the refinery margins for 2023. And the refinery  
3 margins that I'm representing as a percent change relative  
4 to the 2012-2014 benchmark after controlling for inflation.  
5 So we observe that the refinery margins, the change in  
6 refinery margins, spiked as the spot price and the retail  
7 price spiked. So we can say that refiners enjoyed elevated  
8 margins as the price went up.

9 Now, let's look at the retail market, the  
10 retailer's margins. Here I plot the retail -- the change  
11 in retail margins relative to the 2012-2014 benchmark after  
12 controlling for inflation, and we see that retail margins  
13 increased by 203 percent in October. And so we see here  
14 that retail margins increased even after the spot market  
15 prices had stabilized. And we also see that retail prices  
16 had remained elevated even after the spot market prices had  
17 stabilized. Now, this is an example of the up like a  
18 rocket, down like a feather phenomenon. And we can say  
19 that retailers enjoyed elevated margins as prices went  
20 down.

21 So let's look at the components of a price  
22 increase. And so we can break down the components of a  
23 price increase, and let's look at an example, an  
24 illustration between July 24th, before the beginning of the  
25 price spike, and the peak of the spot market price around

1 September 25th. And in this chart, I used the average  
2 weekly gasoline price reported by the Energy Information  
3 Administration.

4           So on July 24th, the average weekly retail price  
5 was \$4.70. On September 25th, when the spot market had  
6 peaked, the average retail price was \$5.66. So it's about  
7 \$0.96 increase per gallon, or about 20 percent increase  
8 between these two dates. So between these two dates, the  
9 retail margin increased by \$0.07 per gallon. Environmental  
10 programs increased by \$0.03 cents per gallon and taxes  
11 increased by \$0.02 per gallon between these two dates.

12           The cost of crude oil between these two dates did  
13 increase about \$0.23 per gallon, which is a relatively  
14 large increase, but now we've only accounted for \$0.35 of  
15 the increase, of the \$0.96 increase in the price of  
16 gasoline. Refiner margins increased by \$0.62 between these  
17 two dates. And the increase in the refinery margins it  
18 make up the largest component of this \$0.96 increase. So  
19 it is not state taxes or environmental fees that drove up  
20 the price during this time period.

21           So we saw that gasoline prices increased. As  
22 gasoline prices increased, the average refining margin  
23 spiked. As gasoline prices slowly decreased, retail  
24 margins spiked. But consumers were hurt by rapidly  
25 increasing prices as prices climbed, but they were also

1 hurt by elevated prices as they slowly stabilized. And  
2 consumers faced these increasing prices for 70 days, and  
3 then they faced elevated prices for 35 days, so that's 105  
4 days of excessive prices.

5 Based on summer gasoline demand data from CARB,  
6 we can estimate that for every \$0.10 per day increase in  
7 gasoline prices, California consumers face an increased  
8 burden of \$4 million per day at the pump. So that's a  
9 burden on consumers from these price spikes.

10 So now I'd like to wrap up and go over some  
11 takeaways.

12 Planned maintenance in the second half of 2023  
13 reduced supply by over 260 million gallons, with over 60  
14 million of those lost gallons in September 2023 alone. By  
15 decreasing supplies, planned maintenance could increase  
16 price volatility, which makes this market that's already a  
17 tight market more susceptible to opportunistic and  
18 potentially illegal trading.

19 Market concentration likely magnified the impacts  
20 of planned maintenance. It wasn't the only cause, and it  
21 wasn't the only factor going into this price spike, but it  
22 certainly magnified it.

23 Responsible resupply plans going forward are  
24 going to be critical for maintaining price stability during  
25 maintenance events.

1           Thank you very much. And if you're interested,  
2 I've included the sources of my data in the final slide of  
3 my deck.

4           DIRECTOR MILDER: Dr. Moreno, I just wanted to  
5 say thank you for this presentation, really addressed some  
6 critical issues with great clarity.

7           I want to also say just on a personal note,  
8 appreciate the introduction and learning a bit more about  
9 you. And really want to credit this work and the fact that  
10 you've been in this position only a short number of months,  
11 and you're hiring and building this Economics Team on  
12 behalf of DPMO is just really impressive work to help  
13 consumers understand what's happening in the market and to  
14 look back at the price spike last year with these new  
15 tools. This is an urgent project and appreciate the fact  
16 that you've addressed it so quickly, so thank you.

17           DR. MORENO: Thank you.

18           VICE CHAIR GUNDA: Yeah, Dr. Moreno, I just  
19 wanted to second Director Milder's comments. You know,  
20 just really appreciate the thoughtful kind of thinking the  
21 flow chart. I mean, that's kind of how my brain works, you  
22 know, it's like, you know, how do you take the data and how  
23 do you construct and deconstruct that in a way that it's  
24 simple, but, you know, impactful in our ability to  
25 understand the details better, so really appreciate.

1           And I also appreciate your continued  
2 collaboration with the CEC side and sharing your expertise  
3 and your insights and improving the analytical work that we  
4 do as well.

5           So really overall, a huge sense of appreciation  
6 to you and the DPMO team. And I'm really glad to see the  
7 entire -- I'm put to shame because the CEC team is not  
8 sitting here. We have some in the back, but this is great.  
9 Thank you so much for being here.

10           I also don't want to forget, before we probably  
11 go to the public comments, just a big, big thank you to  
12 Lisa, who's here representing the Chief Counsel's Office.  
13 It has been about 100 percent more work on the top of 120  
14 you already had. So thank you so much for your  
15 thoughtfulness and kindness as we go through this important  
16 work, I appreciate that.

17           MS. BERLINER: Okay. Thank you, Vice Chair.

18           Written comments, submit written comments to  
19 Docket Number 23-SB-02. They're due by 5:00 p.m. on  
20 Thursday, June 20th.

21           Now I'd like to open it up for public comments.  
22 Is there anyone in the room who would like to do public  
23 comment?

24           We have at least one. Okay.

25           MS. DERIVI: Thank you. My name is Tanya DeRivi,

1 T-A-N-Y-A, D like David, -E, capital -R-I, -V like  
2 Victor, -I, with the Western States Petroleum Association.

3 Do I get my full three minutes? Thanks. Thank  
4 you.

5 We first want to address misunderstandings  
6 regarding price spikes, specifically to respond to repeated  
7 claims from DPMO's director that price spikes are profit  
8 spikes for industry. This claim is misleading. From an  
9 economics perspective, it ignores the reality of all costs  
10 associated with operating a refinery in California. As the  
11 data sent to CEC shows, the volume-weighted gasoline  
12 refining margin for refiners turned negative in October,  
13 reflecting net losses on gasoline produced and sold.

14 West Coast refiners do not enjoy a net margin  
15 premium over the Gulf Coast counterparts. In fact, they  
16 face lower margins, higher costs, and higher risks than  
17 refiners in other regions, while under increasing pressure  
18 to maintain a reliable and affordable gas supply for  
19 Californians in the face of many supply obstacles.

20 The crack spread or the difference between the  
21 purchase price of crude oil and the selling price of key  
22 finished products is a more accurate real-time profit  
23 metric because it accounts for the variable cost of crude  
24 oil and is a more reliable measure of market risk.  
25 Performance of this crack spread shows that it is even more

1 important for the state to reduce uncertainty and not  
2 disincentivize refiners from supplying fuels.

3 WSPA also wants to address another source of  
4 confusion, which is the focus on gross versus net margins.  
5 Relying on gross margin data alone is highly misleading.  
6 Gross margins, even if defined correctly, don't tell us  
7 about net profit because they dramatically understate costs  
8 of goods sold and exclude operational costs altogether.  
9 This means that even if CEC allows refiners to make a  
10 positive gross margin, it could still be forcing industry-  
11 wide losses by imposing a negative net margin, which could,  
12 in turn, force refiners to exit California's market  
13 altogether.

14 It is also wrong to claim that industry is  
15 somehow gouging California's consumers when the reality is  
16 much more mundane. Other states have far fewer supply  
17 obstacles and much different energy priorities and prices  
18 reflect those realities. Indeed, as recently noted by the  
19 Vice Chair, there is no evidence of price gouging on the  
20 part of industry.

21 It shouldn't come as a surprise that California's  
22 market is cyclical. The draft transportation fuels  
23 assessment recognizes these seasonal dynamics. Figure 17  
24 shows how CARBOB storage and production at refineries from  
25 2006 to 2022 would typically diverge in the summer.



1 Refinery production is up, but stocks draw down due to high  
2 demand. We emphasize that imposing a margin cap and  
3 penalty will only exasperate these challenges and harm  
4 consumers.

5 Adopting policies to artificially constrict in-  
6 state gasoline supply does not accelerate the ZEV  
7 transition, it only punishes Californians who need more  
8 affordable fuels. State policy has also reduced  
9 flexibility for consumers while not yet finding affordable  
10 gasoline alternatives. Rather, it is more successful in  
11 encouraging a decrease in the state's refining capacity.

12 A balanced conversation is needed on how best to  
13 manage opportunities for affordable, reliable, and lower  
14 carbon fuels. We urge the CEC to work with industry to  
15 find solutions that address the root cause of high gas  
16 prices rather than scapegoating refiners that, as the CEC's  
17 own consultants have noted, are running as hard as they can  
18 and to serve the needs of the state.

19 Thank you for the extra five seconds.

20 MS. BERLINER: Thank you.

21 Before we go to the Zoom raised hands, we have  
22 gotten a couple of questions about when these slide decks  
23 will be posted to our website. I expect that they will be  
24 posted by the end of day tomorrow at the latest.

25 With that, first up, use the Zoom -- sorry, use

1 the raise hand feature on Zoom to raise your hand. Your  
2 microphone will be opened, you'll unmute your line, and  
3 then please state and spell your name for the record, and  
4 then begin speaking.

5 If you're joining us by phone, dial star nine to  
6 raise your hand. Then when you're called on, dial star six  
7 to mute or unmute your line. You may also use the mute  
8 feature on your phone.

9 First up, we have Ronald Stein.

10 Ronald, I have I have unmuted your mic.

11 MR. STEIN: Thank you.

12 MS. BERLINER: Yes.

13 MR. STEIN: Can I start?

14 MS. BERLINER: Hi, Ronald. Can you hear us?

15 MR. STEIN: I hear you.

16 MS. BERLINER: Okay. Do you have a comment?

17 MR. STEIN: Yes. My name is Ronald Stein,  
18 R-O-N-A-L-D S-T-E-I-N. I'm an author and columnist on  
19 energy literacy articles.

20 And my comments are, since all hospitals,  
21 airports, communication systems, militaries, planes,  
22 trains, and vehicles are based on the products that did not  
23 exist before the 1800s that are now made from fossil fuels,  
24 Governor Newsom will not discuss his plan to support a  
25 supply chain of the products and fuels demanded by today's

1 materialistic society and economy as America reduces its  
2 dependency on crude oil.

3           Newsom, by continually decreasing in-state oil  
4 production, continues to force California, the fourth  
5 largest county in the world, to be the only state in  
6 contiguous America that imports most of its crude oil  
7 feedstock to refineries from foreign countries. That  
8 dependency via maritime transportation from foreign nations  
9 for the state's crude oil energy demands has increased  
10 imported crude oil from 5 percent in 1992 to almost 60  
11 percent today of total consumption.

12           Governor Newsom will not discuss how to maintain  
13 a supply chain of cost-effective products that are  
14 essential to meeting the increasing materialistic demands  
15 for human flourishing. All electrical generation from  
16 hydro, coal, natural gas, nuclear, wind, and solar are all  
17 built with the products, components, and equipment that are  
18 made from the oil derivatives manufactured from crude oil.  
19 Further, all EVs, solar panels, and wind turbines are also  
20 built with the products, components, and equipment that are  
21 made from oil derivatives manufactured from crude oil.

22           My question: How does the California Energy  
23 Commission expect California citizens to cope without such  
24 products supporting its supply chains, and how does it  
25 expect the less developed world to improve their

1 lifestyles?

2 Thank you.

3 MS. BERLINER: Thank you.

4 Next up, we have Jamie Court.

5 Jamie, I've opened your line.

6 MR. COURT: Yeah, thanks. I'm the president of  
7 Consumer Watchdog. I just need to correct some things said  
8 by the Western States Petroleum Association.

9 The net margins reported to the state are as  
10 phony as a three dollar bill. There is no validity to the  
11 net margin calculations reported by the oil refiners. And  
12 we know because we know, based on the SB 1322 data, that  
13 the refiner margins were over \$1.01, averaged over \$1.01  
14 for 2023, and in many months, much higher than that. But  
15 that was the average for the whole year, \$1.01 per gallon.

16 And by the calculations of the net margins they  
17 reported, that would mean it would take like \$0.80 or \$0.90  
18 to make a gallon of gas. We know what it takes to make a  
19 gallon of gas. It's \$0.20 to \$0.30. This is based on the  
20 review of the Securities Exchange Commission documents  
21 filed under penalty of perjury by these very same refiners.  
22 It takes \$0.20 to \$0.30 to make a gallon of gas in  
23 California. So if they're making a dollar one and it takes  
24 20 or 30 cents to make a gallon of gas, they're taking home  
25 70 to 80 cents per gallon. And we know this going back

1 many years across the three refiners that report how much  
2 it costs to make a gallon of gas.

3           And so whatever the net margin data they  
4 produced, which we've talked about previously here, it's so  
5 phony that it should be disregarded. We know what their  
6 margins are. We know their margins are over \$1.00 for  
7 2023, which is outrageous on average because many of them  
8 are much higher. And we know that those margins increase  
9 in terms of when there are price spikes and there's low  
10 inventory, and that is gouging. Whether there's a legal  
11 definition for it or not a legal definition for it, that is  
12 what the public thinks. When they keep us on short  
13 inventories to make more profit, that is gouging. Whether  
14 you can prove that in an antitrust case is a whole other  
15 matter.

16           The other comment I want to address, to clear the  
17 record here, is the idea that we would, and this is not  
18 just what the gentleman said previously, but this is being  
19 broadcast across the state by ads by the oil companies on  
20 Facebook and mailers, the idea that if we had more in-state  
21 production, it would bring down gas prices. There is no  
22 relationship between the crude oil we produce in California  
23 and the cost of gasoline. That's been articulated by  
24 everyone, Severin Borenstein, many professors, because  
25 crude is set on a world market.

1           But more importantly, our supply of crude oil in  
2 California is disappearing. The average well in California  
3 produces less than three barrels of oil a day, three  
4 barrels of oil a day. A good size oil well produces  
5 between 100 and 1,000 barrels and the average oil well in  
6 California produces less than three barrels a day. We are  
7 on shrinking supplies. And unless we allow fracking we're  
8 not going to get more supplies and we're not going to allow  
9 fracking.

10           So that is a red herring and it's a red herring  
11 meant to derail the work of this committee in the  
12 commission of the Governor's Office and we just want to  
13 point these things out.

14           So I thank you for your time.

15           MS. BERLINER: Thank you.

16           Next up we have Jan Warren.

17           Jan I have open your line.

18           MS. WARREN: Good morning. Thank you. Jan  
19 Warren, J-A-N W-A-R-R-E-N. I'm with numerous climate  
20 groups. I'm in Contra Costa County with our four main  
21 refineries. And for the people who just watch the pump and  
22 see the price go up, they do not follow all the other  
23 maintenance things that the most of the EJ community does.

24           I want to thank Dr. Moreno, super presentations,  
25 super understandable. The data speaks for itself. The

1 data shows what those of us who do this stuff and follow it  
2 all the time suspect and gives validity to the fact that  
3 the connection is between supply and maintenance and when  
4 it's done, and the fact that the -- there's a signal that  
5 the fossil fuel industry can look -- is look at the same  
6 data that was presented today.

7           They can choose to bring in more fuel if they  
8 choose to -- or crude if they choose to have maintenance.  
9 But I think that the CEC should be looking at better  
10 oversight, better rules regarding the minimum, like they  
11 mentioned at the UK and so forth, of how much is being  
12 stored to prevent these spikes.

13           I just want to say that in April, I started  
14 watching my local a gas station that I don't even go to and  
15 it was like \$5.19. And it just went up every time I turned  
16 around, you know, for like three weeks, it was going up  
17 \$5.29 \$5.39 it got up to \$5.89. It only stabilized in like  
18 the last, you know, the last -- the month of May and maybe  
19 the last three or four weeks. And it has -- it went back  
20 down to \$5.19 and has not moved.

21           Now, that's not what normally happens in this  
22 time of year as people start traveling, more people are  
23 driving and getting out. That's not normal. And had we  
24 not been having this conversation, I would propose that the  
25 prices would have continued to go up.

1           We had maintenance at the local Martinez refinery  
2 in May, they just finished up.

3           I just really appreciate all the work being done  
4 and appreciate the fact that we have an opportunity to read  
5 the data and even out this crazy up-and-down spike stuff,  
6 except for a blow-up of a refinery or something where we  
7 have to shut it down. But the more we have reserved, the  
8 better it is. And you're talking about not just  
9 individuals, but businesses, and businesses, we know the  
10 price of fuel inflates throughout our economy, which we  
11 know people are hurting right now.

12           So, thanks so much.

13           MS. BERLINER: Thank you.

14           Next up, we have Nicole.

15           Nicole, I've opened your line. Nicole, you'll  
16 need to unmute on your end.

17           MS. MARTINEZ: Okay, can you hear me?

18           MS. BERLINER: Yes.

19           MS. MARTINEZ: Okay, perfect. This is Nicole  
20 Martinez.

21           I just wanted to say that we've had a family gas  
22 station down near Los Angeles for over 30 years. And a lot  
23 of this discussion is just unsettling because the reality  
24 is that with our margins, the state is actually making more  
25 money than we are per gallon. And so it's really



1 frustrating to keep hearing that we're out there price  
2 gouging customers. And the reality is, also, that when our  
3 prices are higher, we actually make less because less  
4 customers come and they fill up less because they can't  
5 afford it. So it's really false, like the narrative that's  
6 been out there, and it's really frustrating to hear.

7           And I also worry about what will happen as we're  
8 going down this road with electric vehicles. I mean, we  
9 have ten employees, and what's going to happen to their  
10 livelihoods and everything because it's not going to be  
11 replaced.

12           So that's all I wanted to say.

13           MS. BERLINER: Thank you.

14           Next up, we have Michael Saragosa.

15           Michael, I've opened your line.

16           MR. SARAGOSA: Thank you. And good morning,  
17 Chair and board members. Thank you for taking our  
18 testimony today. Michael Saragosa on behalf of the Latin  
19 Business Association. We're proud to be the oldest and  
20 represent the largest amount of Latino businesses across  
21 the state of California.

22           Just a couple of items we wanted to highlight is,  
23 you know, many of our members, most of members are small  
24 businesses, mom and pop, sole proprietors. They need  
25 certainty in their ability to conduct business. And with

1 some of these discussions, we're very concerned about just  
2 the level of price fluctuations that go into this without  
3 not knowing exactly what their future lies in. You know,  
4 if they have to move to an all-electric sooner, or if  
5 there's going to actually be a competitive, all-the-above  
6 sort of strategy for them.

7 And that's where we really stand on is, you know,  
8 we're not anti-electric, but what we are is an all-the-  
9 above strategy. We know that the infrastructure isn't  
10 there yet to move onto this yet. And we think it's  
11 aspirational, but we also think there's not any ability by  
12 2035 to move where we want to. And so we're jeopardizing  
13 tens of thousands of jobs across California, machinists,  
14 mechanics, drivers, and these are all people in communities  
15 of color that are going to be disproportionately affected.  
16 So, you know, we want you to be able to look at that.

17 And not only do we represent people in  
18 California, we represent people across the border, we  
19 represent people in the Southwest. I'm actually in Arizona  
20 today. I filled up my vehicle this morning, it was \$3.39  
21 to get gas. As you know, that gas in Arizona comes from  
22 Southern California and from Texas because there's no  
23 production in the state of Arizona. Why is it the same --  
24 why is it markedly different? We just heard from the last,  
25 I think two call hours ago, it was \$5.19 in California.

1 The reality is it's the regulations, it's the uncertainty  
2 in the market that's creating those higher prices in  
3 California.

4 So I wish you could take that into consideration  
5 when you actually are making your recommendations to the  
6 governor because it's obvious that the oil industry isn't  
7 just targeting California consumers for higher prices and  
8 leaving Arizona consumers alone. So it's just basic  
9 economics and why the regulations have caused California  
10 prices to be so high.

11 So I thank you for hearing my comments and I wish  
12 you well in your deliberations. Thank you.

13 MS. BERLINER: Thank you.

14 That was the last raised hand.

15 Vice Chair, Director Milder, is there anything  
16 else you'd like to say?

17 DIRECTOR MILDER:: Sure. I would like to start  
18 things off.

19 And first of all, thank you to the Vice Chair, to  
20 your staff, and especially thanks again to CEC staff, EAD  
21 in particular, and Jeremy Smith, who I can see in the  
22 auditorium.

23 I do have some concluding thoughts, I think,  
24 about the presentations we saw today. I want to start with  
25 one response to a comment that we heard here in person,

1 which came from a trade group that's funded by the oil  
2 industry.

3           And as a starting point, we welcome an honest  
4 discussion and to engage in good faith with the industry.  
5 So to have that type of discussion, though, we need to  
6 agree upon common facts, including what's been said in  
7 public forums.

8           So I find it very troubling to hear a trade group  
9 representative misquote the Vice Chair in his presence.  
10 And I say misquote because I was in the room at that Senate  
11 hearing. It's all available online. And the Vice Chair  
12 was responding to a question about the state's plan for a  
13 clean energy transition. That document, that plan is not  
14 about price gouging per se, but that's not an accurate  
15 quote. And so I think if we're going to have an honest  
16 discussion, let's stick to the facts.

17           Speaking of the facts that we did hear today, I  
18 think it's amazing to see the data being portrayed so  
19 clearly. And one thing that's crystal clear is that  
20 resupply obligations and inventory levels are critical to  
21 preventing or blunting price spikes. And so those price  
22 spikes happen when there are spot market volatility  
23 conditions that can be taken advantage of that make the  
24 market more susceptible to manipulation, so understanding  
25 those root causes is critical.

1           The presentation from Dr. Moreno shows, in a very  
2 discreet way, I think, how lost production in 2023 was the  
3 result of plans by industry. And I find these numbers to  
4 be staggering; 260 million gallons of gasoline was taken  
5 offline through production decisions and the decision not  
6 to replace that supply, with over 60 million gallons in  
7 September 2023 alone. That's just planned maintenance.

8           Like we all understand, that unplanned  
9 maintenance can occur, but what industry's planning to do  
10 sets the stage and makes the state more susceptible if  
11 there is a need for a buffer. So taking refinery  
12 production offline during the summer is a very troubling  
13 decision and I think one that deserves scrutiny.

14           So I think where I'd like to end this morning is  
15 where we started, which is that we should focus on where  
16 consumers are being impacted. And the question that I came  
17 into this morning was: Were consumers impacted by the  
18 supply disruption that we saw, and was that a contributing  
19 factor to price spikes? And it's just astounding to see  
20 that prices went up for 70 days and that it took another 35  
21 days for the prices to return to where they started.  
22 That's elevated prices for about three months that  
23 consumers had to suffer through.

24           And it seems pretty clear from the data that  
25 refiners were making inflated profits as the prices went

1 up, and then retailers were making inflated profits as the  
2 prices came down. And some of our refiners in the state  
3 own a lot of retailers, so they would be benefiting on both  
4 sides of that price spike. And on both sides of that spike  
5 was the consumers who were paying the higher prices.

6 So my sincere hope coming out of today's  
7 presentations is that we can engage productively with  
8 industry about protecting consumers from supply  
9 disruptions. And the industry choices and engagement, I  
10 think, is critical and that's something that DPMO will be  
11 watching very closely.

12 VICE CHAIR GUNDA: Thank you, Director Milder.

13 I think we have one more commenter we missed, so  
14 if we could go back to the public comment. Thank you.

15 MS. BERLINER: We do. My apologies.

16 Thomas Walker, I have opened your mic.

17 MR. WALKER: Thank you. My name is Thomas  
18 Walker, T-H-O-M-A-S W-A-L-K-E-R. I am a consulting  
19 petroleum engineer. I've been active in California for 30  
20 years. And I just want to make a couple comments.

21 I want to thank the folks at the refineries, the  
22 staff, for all the work that they do. You know, it can be  
23 hard to go to work every day when you face a lot of, you  
24 know, unprecedented, in my opinion, unwarranted attacks,  
25 but I appreciate all the effort that they put into it,

1 those on the refinery grounds themselves and the  
2 management.

3 I want to correct one comment I heard, that U.S.  
4 producing oil wells average 100 to 1,000 barrels a day. As  
5 a royalty owner, I know that to be fiction. As a petroleum  
6 engineer, I know that to be fiction. I have worked all my  
7 life with wells and the average production is more in the  
8 five barrels a day range. If you're fortunate to have a  
9 good, productive well, more power to you.

10 The one concern I have is California production  
11 is declining rapidly. The state has effectively banned new  
12 wells over the last few years and as a, you know, logical  
13 result, production is declining. We are therefore forced  
14 to import more and more crude oil each year.

15 And the one question that I would like to have  
16 answered is: What is the capacity of the ports in  
17 California to receive this imported food? And at what  
18 point will we exceed that capacity and see a supply of oil  
19 disruption or reduction in supply?

20 So that's my question I'd like to see answered at  
21 some point.

22 MS. BERLINER: Thank you.

23 Before I pass it to the Vice Chair, is there  
24 anyone else who would like to public comment? I'm seeing  
25 no hands, so I am going to move it to the Vice Chair to

1 close us out.

2 VICE CHAIR GUNDA: Yeah. Thank you, Aria.

3 And thank you, Director Milder, for your  
4 concluding remarks.

5 I just want to, you know, personalize this work  
6 and humanize this work. I think the price spikes that we  
7 have seen in 2022 and 2023, you know, first like just start  
8 with our collective agreement, as, you know, Director  
9 Milder kind of called out. Those price spikes, I think  
10 collectively, no matter which stakeholder group we  
11 represent, we could agree that it's bad for the consumers,  
12 just period.

13 It's a factual statement that those of us who  
14 live in the great state of California with the least means  
15 are most burdened by those price spikes. That, I think,  
16 should be a non-controversial statement. And I think, you  
17 know, or more or less, I mean, every person that I talked  
18 to, every stakeholder group I talked to agreed to that.

19 I think as soon as we agree to a common problem  
20 and we agree that it's a crisis, and going back to the  
21 governor's statement around equity, it is so important, you  
22 know, for us to look back at the historical wrongs in the  
23 energy transition and energy growth in California and the  
24 rest of the world where, oftentimes, the progress has left  
25 behind large parts of the economy. That's just a fact;



1 right?

2           You know, I want to start with, like, non-  
3 attribution and just kind of talk through some of the  
4 factual issues that we're trying to deal with.

5           So when we look at the problem statement and we  
6 collectively say, hey, that's a problem, and we  
7 collectively say we want to solve it because that's good  
8 for us, good for the consumers, good for the greater good,  
9 then the question becomes: How do we set a table to agree  
10 on basic factual contributions to this problem? And we put  
11 out, you know, a non-politicized, non-controversialized,  
12 you know, just set of options on the table to have an  
13 honest conversation about how do we ultimately protect and  
14 get to those objectives we want, as Director Milder  
15 mentioned.

16           So I think then the question becomes, in this  
17 case, it is so evident today, but by both presentations, a  
18 lack of slack in California creates price spikes. That's  
19 just it. And now, you know, as the commentators kind of  
20 commented, you know, there are various perspectives and  
21 various stakeholders who are affected differently by this.  
22 And there are a lot of secondary questions that come into  
23 sight here.

24           But I think what I would call an action, again,  
25 you know, I always try to start with a good-faith step,

1 assuming that when transparency occurs, when information  
2 asymmetry kind of reduces and there is a common call for a  
3 cause, you know, people tend to come together to do things  
4 in good faith.

5           With that, I would just, you know, continue to  
6 ask, you know, digest this information. There is no  
7 controversy in the information that's provided today in  
8 terms of a lack of slack and the price spikes. And I would  
9 call both the industry, you know, call the policymakers,  
10 you know, call the stakeholders to recognize the problem  
11 and do everything we can to protect the consumers at the  
12 end of the day. And I will do my part and I know Director  
13 Milder will do his part. And I know a lot of stakeholders  
14 have been having good faith discussions with us. And I do  
15 want to honor that and look forward to moving into the  
16 summer.

17           As Jeremy pointed out, there are reasons to feel  
18 a little bit optimistic than going into 2022 or 2023. And  
19 I really hope that today's workshop has provided enough  
20 visibility to traders out there, to the industry out there  
21 to really pull together the necessary levers to increase  
22 the liquidity this summer and protect the consumers at the  
23 end of the day. So that's how I see this.

24           And I know there was one more hand that came up.  
25 I will say, I will give the person the last word and let

1     them close the workshop today.  Thanks.

2                   MS. BERLINER:  Okay, so there's no name  
3 associated with this.  It's Galaxy A13 5G.  I'm opening  
4 your line.  If you can state and spell your name for the  
5 record, that would be great.

6                   MR. FORMER:  Can you hear me?

7                   MS. BERLINER:  Yes, I can.

8                   MR. FORMER:  Hello.  My name is Cedric Former and  
9 I am a lead organizer at Groundswell.  And at Groundswell,  
10 we work with both the community and our business leaders,  
11 our politicians, and we advocate for the stabilization of  
12 gas prices so those folks in business can effectively plan  
13 how they're going to operate and for the more of a  
14 predictability of the gas prices in a volatile market.  
15 This is so that people can do some long-term planning on  
16 how their operations are going to be done.

17                   So we are looking for policy that support a  
18 competitive and transparent fuel market to ensure a level  
19 playing field for industry players and foster an innovative  
20 response to the market dynamic.  And we're emphasizing for  
21 the critical role of state regulators to ensure  
22 transportation and fuel prices remain affordable for  
23 businesses and consumers alike.

24                   Thank you for your time.

25                   MS. BERLINER:  Thank you.

1           We have Estella Kessler.

2           Estella, before I open your line, this -- I want  
3 to invite anyone else who has public comment to raise their  
4 hand on Zoom. Otherwise, Estella will be the last  
5 commenter.

6           Estella, I have opened your line.

7           MR. FORMER: Hi. My name is Doug Kessler. I'm  
8 using my wife's Zoom. And I'm the Executive Director of Si  
9 Se Puede of Fresno, Tulare, Kings and Kern counties.

10           And as the gentleman said before us, we are very  
11 worried, we do work out in the rural area, the  
12 stabilization of gas stations. The area we work in the gas  
13 is already higher than -- maybe one gas station in the  
14 whole little town. So it's very important about the  
15 stabilization and so people can plan their use of their  
16 finances.

17           Thank you very much.

18           MS. BERLINER: Thank you.

19           Just as a reminder, you can submit written  
20 comments until June 20th by 5:00 p.m. I want to thank  
21 everyone for joining and commenting and with that, we will  
22 close.

23                           (Off the record at 10:56 a.m.)

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of June, 2024.



---

MARTHA L. NELSON, CERT\*\*367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

June 20, 2024