

DOCKETED

Docket Number:	15-BUSMTG-01
Project Title:	Business Meeting Transcripts
TN #:	204755
Document Title:	05-13-15 Business Meeting Transcript
Description:	N/A
Filer:	Patty Paul
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	5/28/2015 1:13:53 PM
Docketed Date:	5/28/2015

In the Matter of:)
)
Business Meeting)
_____)

Reported by:
Peter Petty

Commissioners Present

Robert Weisenmiller, Chair
Karen Douglas
David Hochschild
Andrew McAllister
Janea Scott

Staff Present:

Rob Oglesby, Executive Director
Kourtney Vaccaro, Chief Counsel
Alana Mathews, Public Adviser
Shawn Pittard, Public Adviser's Officer
Harriet Kallemeyn, Secretariat

	Agenda Item
Jeffery Ogata	3
Larry Froess	5
John Nuffer	6
Galen Lemei	6
Kristen Driskell	6
Ken Rider	7
Jared Babula	7
Jennifer Campagna	8
Jacob Orenberg	9
Darren Nguyen	10
Larry Rillera	11
Sharon Purewal	12
Paul Robinson	13
Aleecia Gutierrez	14
James Lee	15
Dustin Davis	16
Leah Mohny	17
Lillian Mirviss	18
Avtar Bining	19
Rajesh Kapoor	20

Also Present

Interested Parties (* Via WebEx)

	Agenda Item
Doug Kern, Mendocino Land Trust	9
Jay Friedland, Zero Motorcycles	10
Mike Simon, TransPower	11
Chuck White, Waste Management	11
Peter Ward, North American Repower	11
Jerome Carman, Redwood Coast Energy	12
Chris Terrell, Wexus	17
Ed Beleau, Wexus	17
Steven Selkowitz, LBNL	16
Eleanor Lee, LBNL	16
Paul Haberlein, Pattern Energy	18

Public Comment

Jeff Harris, Ellison Schneider & Harris	3
Gary Fernstrom	6
*Gary Gockel, Pool Solutions	6
Kevin Messner, Association of Home Appliance Manufacturers	6
*Paul Lin, Regal Beloit	6
Charles Kim CA IOU's	7
*Laura Petrillo-Groh, AHRI	7
*Aniruddh Roy, Goodman Company	7
Ade Jackson	26

I N D E X

	Page
Proceedings	7
Items	
1. CONSENT CALENDAR.	7
a. City of Roseville	
b. City of Roseville	
c. Southern California Public Power Authority	
2. ENERGY COMMISSION COMMITTEE APPOINTMENTS	Deferred
3. ALTERNATIVE WATER SUPPLY FOR POWER PLANT OPERATION	7
4. Removed from Agenda	
5. 2013 PUBLIC DOMAIN CALIFORNIA BUILDING ENERGY CODE COMPLIANCE SOFTWARE-RESIDENTIAL, CBECC-RES, VERSION 4	15
6. APPLIANCE EFFICIENCY ENFORCEMENT RULEMAKING - HEARING AND POSSIBLE ADOPTION OF REGULATIONS	18
7. ENERGY EFFICIENCY STANDARDS FOR HEATING VENTILATION AND AIR CONDITIONING (HVAC) AIR FILTERS, DIMMING FLUORESCENT BALLASTS, HEAT PUMP WATER CHILLING PACKAGES, AND FEDERAL UPDATES - HEARING AND POSSIBLE ADOPTION OF REGULATIONS	41
a. Negative Declaration	
b. Amendments to the Appliance Efficiency Regulations	
8. TRINITY TECHNOLOGY GROUP	54
9. MENDOCINO LAND TRUST, INC.	57
10. ZERO MOTORCYCLES, INC.	59

Items	Page
11. MEDIUM- AND HEAVY-DUTY ADVANCED VEHICLE TECHNOLOGY DEMONSTRATION	66
a. Motiv Power Systems, Inc.	
b. Transportation Power, Inc.	
c. North American Repower, LLC	
d. Transportation Power, Inc.	
e. Transportation Power, Inc.	
12. ZERO EMISSION VEHICLE (ZEV) READINESS	75
13. CO2NEXUS, INC.	82
14. GLINT PHOTONICS, INC.	85
15. TRUSTEES OF THE CALIFORNIA STATE UNIVERSITY	87
a. Natural Gas	
i) San Diego State University	
ii) California Polytechnic State University, San Luis Obispo	
iii) NegaWatt Consulting, Inc.	
iv) Taylor Energy, El Dorado Hills, CA	
v) Hi-Z Technology, Inc., San Diego, CA	
b. Transportation Natural Gas	
16. LAWRENCE BERKELEY NATIONAL LABORATORY	101
17. BRINGING ENERGY EFFICIENCY SOLUTIONS TO CALIFORNIA'S INDUSTRIAL, AGRICULTURAL AND WATER SECTORS	89
a. University of California, Riverside	
b. Porifera, Inc.	
c. Porifera, Inc.	
d. Wexus Technologies, Inc.	
e. University of California, Berkeley	
f. Kennedy/Jenks Consultants, Inc.	

Items

Page

18.	REDUCE THE ENVIRONMENTAL AND PUBLIC HEALTH IMPACTS OF ELECTRICITY GENERATION AND MAKE THE ELECTRICITY SYSTEM LESS VULNERABLE TO CLIMATE IMPACTS: PHASE I	105
a.	University of California, Riverside	
b.	University of California, Berkeley	
c.	Maulbetsch Consulting	
d.	Energy and Environmental Economics, Inc.	
e.	Frontier Wind	
f.	Lawrence Berkeley National Laboratory	
g.	Lawrence Berkeley National Laboratory	
h.	University of California, Irvine	
19.	NATURAL GAS PIPELINE SAFETY AND DAMAGE PREVENTION GRANTS	116
a.	Gas Technology Institute	
b.	Acellent Technologies, Inc.	
20.	GAS TECHNOLOGY INSTITUTE	119
21.	Minutes	121
22.	Lead Commissioner or Presiding Member Reports	122
23.	Chief Counsel's Report	145
24.	Executive Director's Report	145
25.	Public Adviser's Report	146
26.	Public Comment	146
	Adjournment	147
	Reporter's Certificate	148
	Transcriber's Certificate	149

1 P R O C E E D I N G S

2 MAY 13, 2015 10:05 a.m.

3 CHAIR WEISENMILLER: Good morning. Let's start
4 the meeting off with the Pledge of Allegiance.

5 (Whereupon, the Pledge of Allegiance was
6 recited in unison.)

7 CHAIR WEISENMILLER: Good morning. Just to
8 remind people, on the agenda Item 2 -- we have no committee
9 appointments today and Item 4 is also pulled.

10 So, let's start with the Consent Calendar.

11 COMMISSIONER MC ALLISTER: I'll move the Consent
12 Calendar.

13 COMMISSIONER DOUGLAS: Second.

14 CHAIR WEISENMILLER: All those in favor?

15 (Ayes)

16 CHAIR WEISENMILLER: The Consent Calendar passed
17 five to zero.

18 Let's go on to Item Number 3, Alternative Water
19 Supply for Power Plant Operations. Jeff.

20 MR. OGATA: Good morning, Chair Weisenmiller and
21 Commissioners. My name is Jeff Ogata, I'm an Assistant
22 Chief Counsel.

23 And today I'm requesting your consideration and
24 approval of an order that would delegate to the Executive
25 Director the authority to approve amendment petitions filed

7

1 for the purpose of securing alternative water supplies
2 necessary for continued power plant operation.

3 As you know, Section 1769 of our Title 20
4 regulations allows power plant owners to file a petition to
5 request amendments to the certifications that involve
6 project design, operation or performance requirements.
7 These petitions are evaluated by staff and then brought to
8 the Commission for approval when changes to conditions of
9 certification are necessary or when environmental impacts
10 are identified.

11 You're also aware that Governor Brown issued
12 Executive Order B-29-15 on April 1st, 2015, and that it
13 contains directives regarding the drought emergency.
14 Directive 25 requires the Energy Commission to expedite the
15 processing of all petitions for amendments to power plant
16 certifications issued by us for the purpose of securing
17 alternate water supplies.

18 It further states that the Energy Commission may
19 delegate amendment approval to the Executive Director.

20 The proposed order does not reference Directive
21 26, but I am mentioning it for the public's information.

22 Directive 26 states that the California
23 Environmental Quality Act in implementing regulations are
24 suspended with respect to approving water supply amendment
25 petitions until May 31st, 2016.

1 So, at this time I ask that you consider the
2 proposed order and vote to approve it.

3 CHAIR WEISENMILLER: Thank you. We have one
4 public comment, Jeff Harris.

5 MR. HARRIS: Good morning, Commissioners, glad to
6 be here. I'm Jeff Harris, on behalf of Ellison, Schneider
7 & Harris.

8 This is an important item for a lot of our
9 clients, so I'm not here on behalf of any one client today,
10 but kind of a group of folks with common interests here.
11 And one of the things we're going to be asking is to make
12 sure there's sufficient flexibility in this process. I
13 think that that's an important thing, that there not be any
14 rigid processing requirements or rigid cutoff dates, and
15 that you consider these requests all on a case-by-case
16 basis, because they're all going to be very fact-specific
17 as you move forward.

18 We're in the beginning of what may be a multi-
19 year drought, so you may not be seeing people this year,
20 but you might start seeing people next year and the year
21 after, depending on what happens in California.

22 One condition precedent to being able to secure
23 an alternative water supply is knowing you can use that
24 supply. So, in a way there's a chicken and egg problem
25 here. Finding a supply is often contingent on knowing that

1 you can be able to use it and being able to use it is
2 contingent on the approvals.

3 And so, there's a real kind of tension in the
4 commercial setting that I think dictates the need for
5 flexibility in what you're doing going forward in the
6 Executive Director's process here.

7 Water years differ by states, like some are
8 calendar years, some are fiscal years, State fiscal years,
9 some are Federal fiscal years. It's all over the map. And
10 it takes time to put these deals together.

11 In addition to that, there's Federal approvals
12 that may lag your process which, again, goes towards
13 flexibility in the implementation of this program. So,
14 we're very interested in seeing that.

15 There are also some subjective considerations
16 that don't lend themselves to hard and fast cutoff dates,
17 or other rigid rules. And number one would be really
18 communication with your staff. I think that's an important
19 thing.

20 We've all heard the admonition and my clients are
21 heeding it, that we shouldn't show up the day before we
22 have a problem. And we've worked very closely, for various
23 clients, with your staff. And I want to compliment Mr.
24 Johnson and his staff on their ability to really be
25 discreet in these issues, to work with an applicant without

1 disclosing more than is required by their public duties.
2 And that's a tough balance for staff. And to date I think
3 everything has worked very well in that connection. But it
4 does show you the need for some flexibility.

5 There are other subjective factors, like whether
6 you're diligently pursuing alternative supplies, and then
7 there are basic questions about whether applicants have sat
8 on their hands or not. And I think that ought to matter on
9 how you deal with these case-by-case decisions moving
10 forward.

11 There are various climates across the states and
12 multiple water circumstances across the states, and all of
13 this lends itself to some fluidity, pun intended, in how
14 you handle these water requests.

15 There's also time to process an amendment. If
16 you decide not to use the Executive Director process, you
17 go back to the regular 1769 process and depending on a
18 whole myriad of factors, those amendments can be processed
19 quickly or they can take some time. Sometimes they take
20 12, 18, 24 months to process relatively simple amendments.

21 And so, I guess I want to caution against two
22 extremes. One being sort of a very quick process for
23 approval versus a process that would be a multi-year
24 process that doesn't line up well with the realities of
25 getting water to projects.

1 Market factors do play in this. As I mentioned
2 before, any time you negotiate the deal and you also have
3 existing contractual obligations that you need to make sure
4 are not triggered by seeking alternative supplies, and
5 there are opportunities for future contracting. But again,
6 those all take some time.

7 And again, I want to emphasize that the staff has
8 been very good in working with us on these issues. You may
9 hear about some of these things on the dais later than your
10 staff. You will definitely hear about them later than your
11 staff. But I do think that's an important factor.

12 And then I guess the last thing I want to say is
13 keep in mind that power plants are largely customers.
14 They're not water suppliers, they're not in the business of
15 water. They're like any other industrial or commercial
16 user of water and we need to take a look at conditions that
17 maybe provide some disadvantage to California power plants.
18 And we don't want to disadvantage power plants relative to
19 other water users in the State, relative to non-
20 jurisdictional projects. And, importantly, relative to
21 out-of-state projects which may not face some of the
22 constraints. And I think in the larger EIM market that's
23 an important thing.

24 My time has passed, at least here, so I'm going
25 to go ahead and stop. Thanks.

1 CHAIR WEISENMILLER: Thanks. First, Jeff, any
2 responses?

3 MR. OGATA: Mr. Harris has, I think, stated a
4 number of concerns that we are aware of. We certainly
5 understand the purpose of this directive and emergency
6 order.

7 I think staff is going to use its best judgment
8 in terms of how we handle these cases. And as Mr. Harris
9 pointed out, we typically do this on a case-by-case basis.

10 So, I think, you know, we'll be flexible and
11 we'll be certain that what we're doing is in the interest
12 of the people of California, and we'll certainly carry out
13 the Governor's directives.

14 CHAIR WEISENMILLER: Great, thanks.

15 MR. HARRIS: I forgot to thank Mr. Ogata, who's
16 been speaking with me on these issues, too. So, thank you.

17 CHAIR WEISENMILLER: Okay. And I'm just going to
18 say early on, as this whole crisis started unfolding,
19 Felicia Marcus made the comment to me, and this is private,
20 but anyway she was amazed how few water lawyers understood
21 the water law and by that indicated we want sprinting
22 quickly to come up.

23 And, certainly, my general advice to you and your
24 clients is to make sure exactly where their water supply
25 fits in the State water law and curtailment situation,

1 since it's moving along pretty quickly there.

2 Obviously, when this came up or when the Governor
3 started preparing the Executive Order, one of the things I
4 was told was to think about not just this summer, but also
5 next summer. And we have, obviously, the concern that the
6 drought is the new normal and that we could be facing
7 another year or two.

8 And so, I don't think we're as concerned on water
9 issues with the power plants this summer, but certainly
10 looking, if it continues for another year or two, you know,
11 we really wanted to have this tool to go forward so that we
12 could move in a timely fashion.

13 The reality at this point is our compliance
14 siting load is at an all-time high. And it's sort of
15 cumulative over time, every time we permit something. And,
16 in fact, we've been getting some of the plants now starting
17 to retire and we're dealing with the de-commissioning.

18 So, the bottom line is that's an area with a lot
19 of work, so just trying to make sure we have the
20 flexibility here.

21 COMMISSIONER DOUGLAS: I just wanted to comment,
22 briefly, and first thank Jeff Ogata and the step division
23 staff for putting this forward. It took a lot of work and
24 effort, and I think the product is really good. And it is
25 very important. It's important for us to be able to

1 respond nimbly, given the emergency situation and given the
2 drought.

3 And as the Chair just said, it is going to be
4 particularly important to the extent that the drought
5 conditions were to continue beyond this summer and into the
6 future.

7 So, I'm glad to see this on the agenda today and,
8 obviously, it's got my full support.

9 So with that, I move approval of Item 3.

10 COMMISSIONER SCOTT: Second.

11 CHAIR WEISENMILLER: All those in favor?

12 (Ayes)

13 CHAIR WEISENMILLER: Item 3 passes unanimously.

14 Let's go on to Item Number 5, which is Public
15 Domain California Building Energy Code Compliance Software-
16 Residential, CBECC-RES Version 4.

17 Larry Froess, please.

18 MR. FROESS: Good morning Chair and
19 Commissioners. My name is Larry Froess and I am a Senior
20 Mechanical Engineer in the Building Standards Office of
21 Efficiency Division.

22 I'm here today requesting your approval of CBECC-
23 RES Version 4, as compliance software for the 2013
24 Residential Standards.

25 The CBECC-RES software was updated to include new

1 features and to correct several known bugs. The new
2 features include allowing the modeling of separate boilers
3 for hydronic space heating and for domestic hot water
4 heating, and improved compliance processing speed which is
5 almost twice as fast as Version 3.C.

6 This version of CBECC-RES also corrects several
7 software bugs and reporting errors primarily relating to
8 addition and alternation modeling issues, and HERS
9 reporting errors for mini-splits and for duct work under
10 certain conditions.

11 All of these changes constitute a major change in
12 the Compliance Manager. As specified in the 2013
13 Residential Approval Manual, the alternative calculation
14 methods of private compliance software vendors, which
15 includes Energy Pro Version 6.5, Right Energy Title 24
16 Version 1.3, must update their compliance software and
17 provide the Commission with an updated copy of the software
18 and user's manual within 45 days from today, which would be
19 June 26, 2015.

20 But to make this as straight forward as possible
21 for the compliance and enforcement communities, all permit
22 applications made on or after August 1st, 2015 must use the
23 new version of the software and all previous versions of
24 residential compliance software shall expire on August 1st,
25 2015.

1 If you choose to approve this item, you will be
2 also approving the decertification of all previous versions
3 of residential compliance software and approving a
4 resolution that provides delegated authority to the
5 Executive Director to make future changes to the software,
6 as necessary, to ensure that it accurately estimates
7 building energy use and correctly implements the
8 performance compliance approach of the 2013 Residential
9 Standards.

10 It also authorizes the Executive Director to
11 rescind approval of previous versions of CBECC-RES and
12 alternative calculation methods that incorporate outdated
13 versions of the Compliance Manager.

14 Thank you and I'm available to answer any
15 questions.

16 CHAIR WEISENMILLER: Thank you. Anyone in the
17 room or online have comments?

18 So, apparently not, let's turn to the
19 Commissioners.

20 COMMISSIONER MC ALLISTER: Yeah, so thanks for
21 the update. This is necessary and I don't think there are
22 really any flags from my perspective on this. It's a
23 standard update that's fixing things that stakeholders
24 brought up. It reflects sort of our due diligence and our
25 improvement of the software over time, incrementally, as is

1 necessary, and I think is really kind of a standard
2 operating procedure for us here, adding functionality and
3 really sort of putting into practice what discussions have
4 revealed as necessary.

5 So, I'm fully in support of this item. All
6 right, so I will move Item 5.

7 COMMISSIONER DOUGLAS: Second.

8 CHAIR WEISENMILLER: All those in favor?

9 (Ayes)

10 CHAIR WEISENMILLER: Item 5 passes unanimously.

11 Let's go on to Item Number 6, Appliance
12 Efficiency Enforcement Rulemaking. John.

13 MR. NUFFER: Good morning Chair Weisenmiller and
14 Commissioners. I'm John Nuffer with the Appliances and
15 Existing Buildings Office. With me is Galen Lemei, with
16 the Chief Counsel's Office.

17 We are here today asking you to consider adopting
18 revised appliance efficiency enforcement regulations.
19 These regs would establish an administrative process for
20 imposing monetary penalties for violations of the appliance
21 efficiency regulations, including appliance efficiency
22 standards.

23 The revised regulations -- before you address --
24 I'm sorry, the revised regulations address technical
25 issues, only, raised by the Office of Administrative Law in

1 its review of the proposed regs.

2 The scope and effect of the revised regulations
3 are substantially similar to that of regulations previously
4 adopted by the Energy Commission on November 17th, 2014.

5 As you may recall, the Energy Commission adopted
6 appliance enforcement regulations at the November Business
7 Meeting. The adopted regulations include a change from the
8 original 45-day language that was published on August 25th,
9 2014. The change related to the manner in which a notice
10 of violation must be delivered.

11 The revised language requires that notice of
12 violation be delivered by certified mail, registered mail,
13 or by other means that ensures a notice is actually
14 received.

15 This language was added after the 45-day public
16 review period to be responsive to stakeholders.

17 The Energy Commission did not submit this
18 language for any further review and comment because it
19 found the change to be nonsubstantive pursuant to
20 Government Code Section 11346.8(c), and Section 40 of Title
21 1, of the California Code of Regulations.

22 After adopting the regulations in November, with
23 this additional language, the Energy Commission prepared a
24 final statement of reasons and submitted the final
25 rulemaking package to the Office of Administrative Law on

1 March 2nd.

2 The Energy Commission subsequently withdrew the
3 regulation from consideration on April 13th, based in part
4 on OAL's concern that the change was a substantive change
5 from the original 45-day language. Thus, requiring another
6 15-day public review period before adoption.

7 OAL also expressed concern that Section
8 1609(b)(3)(b) lacked clarity because it combined two of the
9 statutory factors required to be considered in the
10 calculation of monetary penalties. These factors are the
11 persistence or history of violations and the number of
12 violations.

13 On April 23rd of this year, to address the
14 concerns of OAL, the Energy Commission published revised
15 regulations or 15-day language. In addition to providing
16 an additional 15-day public review for that language, added
17 to Section 1609(c), related to notices of violation, the
18 revised regulations separate the history of past violations
19 from current misconduct and make clear that the history of
20 past violations may only include seven years.

21 The 15-day language was available for public
22 review and comment for at least 15 days, as required by
23 Government Code Section 11346.8(c), and was sent to each
24 person with an interest in the rulemaking as required by
25 Section 44 of Title 1, of the California Code of

1 Regulations.

2 We received comments from the Natural Resources
3 Defense Council, the Association of Home Appliance
4 Manufacturers, the IOUs, several parties representing the
5 pool and spa industry, and Steve Euler, a private citizen.

6 The only comments specifically related to the 15-
7 day language were from NRDC and AHAM. Now, they support
8 the added language to require notices of violation be sent
9 by certified or registered mail, or by other means that
10 ensure notices are actually received.

11 The other comments were either comments we've
12 seen and considered before, as the regulations were being
13 crafted, or are not within the scope of this rulemaking.

14 We gave careful consideration to all of the
15 comments and are not recommending any changes to the 15-day
16 language before you.

17 We will include a response to each of the
18 comments in the final statement of reasons.

19 Commissioners, if you choose to adopt these
20 revised regulations, we will prepare a revised rulemaking
21 package for submittal to the Office of Administrative Law.
22 The reviewing attorney at OAL has agreed to expedite his
23 final review so that the regs could get published by the
24 Secretary of State by May 30th. With OAL's approval, the
25 regs would take effect, as planned, on July 1st.

1 That concludes my presentation and we'd be happy
2 to answer questions.

3 CHAIR WEISENMILLER: Great, thank you.

4 I believe we have two comments. One in the room
5 and one on the phone. So, let's start with Gary Fernstrom,
6 in the room.

7 MR. FERNSTROM: Thank you, Commissioners, staff,
8 interested parties. I'm Gary Fernstrom. I'm representing
9 the California Investor-Owned Utilities.

10 We very much appreciate the Legislature granting
11 the Commission the authority to improve its enforcement of
12 the appliance efficiency regulations. And we appreciate
13 the hard work of staff over the last couple of years
14 developing the detail language for this enforcement
15 regulation.

16 We do have a concern, however, that the way the
17 regulations are presently worded they would make
18 enforcement for application-specific appliances, such as
19 regional split system air conditioners, commercial and
20 residential faucets, and pool pumps and motors non-
21 enforceable.

22 Let me give you an example. The regulations
23 state that any appliance not listed in the appliance
24 database would be in violation of this enforcement
25 rulemaking. And at present, swimming pool pumps and motors

1 are regulated, but swimming pool motors are not reported to
2 the database. And, furthermore, I understand from the
3 regulatory affairs representative of the Regal Beloit Motor
4 Company that staff told them that they were not to report
5 motors to the database, and there is no space in the
6 database for the reporting of motors.

7 So, after the effective date every pool pump
8 motor sold in California would technically be in violation
9 of the regulations.

10 We have other comments that we have submitted
11 but, for the sake of brevity, I'm not going to go into them
12 now. Thank you.

13 CHAIR WEISENMILLER: Thank you.

14 Any other questions? Okay, I believe we have
15 Kevin Messner in the room?

16 MR. GOCKEL: Yes, sir.

17 CHAIR WEISENMILLER: Actually, I think in the
18 room, but go ahead.

19 MR. MESSNER: Yeah, hi, this is Kevin Messner
20 with Political Logic. I represent the Association of Home
21 Appliance Manufacturers.

22 I want to first off thank you. We support, as
23 John stated, the addition of the certification mail and
24 that's something that we were pushing for, and thank you
25 for listening to us on that.

1 Not so enthusiastic about listening for another
2 suggestion that we had and that's a cap on the penalty.
3 And I know it's kind of déjà vu all over again, we've been
4 through this before, but just one last plead for sense of
5 good government that some kind of cap on the penalty is
6 justified just to prevent future governmental overreach.
7 You all may not be on the Commission in years to come, so
8 some type of cap that's rational, that's what the Product
9 Safety Commission has for health and safety. And we're
10 suggesting \$500,000, but a million, ten million. There's
11 got to be some kind of cap so that a billion dollar
12 potential fine is not hanging over the head of an engineer
13 who signed a certification report and maybe did an error of
14 some sort.

15 So, we'd urge you to please, please consider some
16 type of cap on the penalty. Thank you.

17 CHAIR WEISENMILLER: Thank you.

18 Anyone else in the room?

19 Let's go to the party on the line?

20 MR. GOCKEL: Yes, thanks very much. My name's
21 Gary Gockel. I'm a pool energy contractor. The point I'd
22 like to make is that it does not reflect relevant
23 provisions of the appliance curve. In the appliance there,
24 there's actually a portion in the pool code that we've been
25 observing since 2008, regarding energy efficiency pumps and

24

1 motors.

2 And the existing being considered for adoption
3 doesn't address the compliance with its own requirements
4 that are in the same code. And failure to do this would
5 essentially negate the work that we have been doing since
6 2008 in trying to make swimming pools more energy
7 efficient.

8 Currently, residential swimming pools in
9 California consume -- power at 6 medium-sized power plants,
10 and we're trying to reduce that substantially over the life
11 of the pumps and motors.

12 But not keeping the language and not addressing,
13 you know, the compliance aspects for specific requirements
14 in California all of our work will be negated, and that
15 people will no longer even think about energy efficiency
16 because, as written, noncompliant motors and pumps could be
17 used without being in violation of the law.

18 And so, we strongly recommend that you not go
19 with this language and please consider adopting, you know,
20 to address compliance for appliances that have application-
21 specific requirements. Thanks very much.

22 CHAIR WEISENMILLER: Thank you.

23 Anyone else on the line or in the room?

24 Okay, let's go to the Commissioners, then.

25 COMMISSIONER MC ALLISTER: Yeah, I actually want

25

1 to go to staff to get to, primarily, Mr. Fernstrom's
2 comments, and the pool contractor, just about the
3 discussions there behind that issue.

4 MR. NUFFER: Park of what Mr. Fernstrom just said
5 is new to me. But the issue that I think is being
6 discussed starts out primarily that there are electric
7 motors that there are Federal standards in our regulations
8 for electric motors, and also State standards in our
9 regulations for electric motors, for residential pool pump
10 motors.

11 Both of those types of motors, in various sizes
12 and powers, can be sold if they meet the Federal or State
13 standards. And that's sort of the crux -- that's the crux
14 of the problem. But there are other technical issues
15 related to how we capture data from manufacturers in one of
16 our tables.

17 And those issues, we think, are more related to
18 Section 1601 through 1608 of the regulations, rather than
19 this new section, this new enforcement section, 1609. And
20 would probably be more appropriately addressed in another
21 rulemaking related to the standards and the other sections
22 of the regulations.

23 COMMISSIONER MC ALLISTER: Okay, so I want to
24 unpack this a little bit. I'm not sure we've thought
25 this -- or we've got sort of all the pieces here, but I

1 think I agree with what you just said.

2 I guess, just to get clarity, I think we're
3 talking about replacement pool pump motors, right? So,
4 it's sort of repair, replacement, not -- well, the initial
5 installation of the system would be covered by new
6 construction, Title 24, et cetera, right.

7 So, and then I also understand that pool pumps
8 are in the OIR from 2012 that we're working through all the
9 issues on, right, or that we're working through the various
10 categories systematically. I think I see Ken nodding.

11 So they are, in the Title 20 realm they are
12 actually on the docket, right. So, that's -- I'm seeing
13 head nodding. So, I think that's right.

14 So, really, the question here is whether this
15 issue is for today or whether it resides properly in a
16 different place.

17 So, Gary looks like he wants to respond to that.

18 MR. FERNSTROM: Thank you for the opportunity to
19 respond. It isn't just about motors. Let me, as quickly
20 and concisely as possible, try and explain what the
21 difficulty is.

22 If I go to a pool retailer or as a contractor to
23 a pool wholesaler, available to me off the shelf is a two-
24 horsepower, single-speed pool pump. Yes, it has a motor
25 attached and the California regulations go primarily to the

27

1 motor.

2 I can buy that product legally if I utilize it on
3 a commercial pool or for a non-residential filtration
4 application, such as a waterfall, a water feature, a
5 fountain.

6 However, if I'm buying that for application in a
7 residential filtration application, it is not allowed by
8 the regulations.

9 So, by citing whether these products are listed
10 in the database only is not a sufficient differentiator
11 with respect to the application sensitivity. We need to
12 also not only require that these products be listed, but
13 they be consistent with the language of the regulations.

14 And if we were to make that simple modification,
15 then pool pumps would be adequately covered. But as it
16 exists now, the regulations would have these pumps listed
17 and they could be purchased for any purpose and that would
18 make the regulations non-enforceable, in our opinion.

19 COMMISSIONER MC ALLISTER: So, let's see, I guess
20 I mean one problem here is we do actually, you know, live
21 in a democracy. I'm sorry. So, I mean people -- so, I
22 guess Galen looks like he wants to say something. But I'm
23 wondering what doable, pragmatically doable fix for -- I
24 mean, how would you align the -- you know, make sure that
25 somebody is Boy Scout, on their honor, to install it in the

1 right place. I mean, that sounds like it's a little bit of
2 a tricky thing to navigate.

3 MR. FERNSTROM: Well, Commissioner, they're your
4 regulations, which you have adopted. Adding the simple
5 word "and" -- "must be listed in the appliance database and
6 in compliance with the regulations" fixes your regulatory
7 authority such that you would then have regulatory
8 authority.

9 The issue of how this would be enforced is
10 another issue. And we recommend that consumers and
11 contractors purchasing these products simply sign a
12 statement when they purchase them, and leave it with the
13 vendor, stating that they're going to use it on a
14 legitimate application.

15 COMMISSIONER MC ALLISTER: So, that's the kind of
16 complexity that I think I would be hoping to avoid, in
17 fact, you know, a new set of paperwork, basically, that we
18 have to incorporate in our processes.

19 But I wanted to go back and see, Galen, did you
20 want to say something about this?

21 MR. LEMEI: Yeah, I did. I wanted to address one
22 statement that Mr. Fernstrom made, which was that the
23 current regulations prohibit the use of certain appliances
24 in certain applications. I'm not sure that that is a
25 factual statement of the effect of the current regulatory

1 scheme.

2 Second, I wanted to point out that enforcement
3 is, in fact, the subject of today's hearing and today's
4 regulations. And the regulations that are before you
5 create a general process for the enforcement of the
6 Appliance Efficiency Standards, of the Appliance Efficiency
7 Regulations, and for violations of the Appliance Efficiency
8 Regulations without reference to any particular appliance.

9 What I understand the recommendation to be is to
10 create a new, substantive requirement that would create a
11 violation -- will require a verification that the appliance
12 is going to be used in a particular manner and that the
13 appliance -- and the violation of that verification will
14 create new violations for certain particular appliances,
15 including pool pumps. Faucets were also mentioned.

16 I wanted to say that such a change is not within
17 the scope of the current regulation before you. Not within
18 the scope of the notice of proposed action.

19 This is something that would be appropriate,
20 potentially, for a separate rulemaking under Title 24 or,
21 potentially, under Title 24 since it actually goes to end
22 use. But in my view, it is beyond the scope of the
23 currently proposed action.

24 MR. FERNSTROM: If I could respond?

25 COMMISSIONER MC ALLISTER: Go ahead.

1 MR. FERNSTROM: The regulations state that a
2 residential pool pump or motor may not be sold for
3 residential in-ground filtration application if the use
4 exceeds -- meets or exceeds one total horsepower. So,
5 that's the language in the regulation.

6 The enforcement language, the way you've written
7 it, says that anyone that offers for sale or sells in
8 California an appliance that is not listed in the database
9 is in violation and it stops there. It does not refer back
10 to the regulations, themselves. And both compliant and
11 noncompliant products will be listed and, therefore, it
12 will be impossible, in my opinion, to enforce the
13 regulation the way the regulations are actually written and
14 intended.

15 COMMISSIONER MC ALLISTER: You're saying that
16 above one horsepower will be listed because they will be
17 available for a different application. And the below-one-
18 horsepower will be listed in the proper place, in your
19 view.

20 MR. FERNSTROM: That's correct.

21 COMMISSIONER MC ALLISTER: So, people could buy
22 one and then install it in another --

23 MR. FERNSTROM: And conversely, if they're not
24 listed, they can't be sold or they'd be subject to
25 violation. But they should be able to be sold because they

1 are currently utilized.

2 COMMISSIONER MC ALLISTER: Okay, so I think I --
3 I think there's a substantive issue here but I really don't
4 think it's something that we need to work on, that we need
5 to solve right here, at this moment, in this particular
6 decision.

7 Kristen, do you have something to add here?

8 MS. DRISKELL: I like that I can just lean
9 forward and you picked up on that.

10 This is Kristen Driskell --

11 COMMISSIONER MC ALLISTER: Well, I saw you
12 actually get in the chair like you wanted to say something.

13 MS. DRISKELL: -- with the Appliance and Existing
14 Buildings Office. I just wanted to note that we are aware
15 of a compliance issue with the pool pumps and order, which
16 is why it's in the order instituting rulemaking. And so,
17 it's something that we'll be taking up in an upcoming
18 rulemaking proceeding. And I think that's the appropriate
19 place to address this issue.

20 MR. FERNSTROM: Compliance -- noncompliance with
21 this regulation is now estimated to be 60 percent by Robert
22 Nichols, the regulatory person for the Independent Pool and
23 Spa Association.

24 And I'd like to point out that, as Gary Gockel
25 said, that one and a half million pool pumps and motors are

1 in the field, in California, and they represent, if
2 considered collectively, and at one time the output of six
3 power plants.

4 So, if we allow, even for a year, a 60 percent
5 noncompliance rate to persist, California is missing out on
6 an enormous energy saving opportunity that we thought were
7 already captured in regulations.

8 COMMISSIONER DOUGLAS: So, I'm just going to step
9 in at this point and say that while it does sound like an
10 important issue or an issue that we should explore is being
11 raised today, I agree with our counsel that the simple
12 matter of adding the word "and" is not such a simple
13 matter. And it would result in the delay of these
14 regulations coming into effect. And from my perspective,
15 you know, I came into this item expecting to solve a
16 problem we created for ourselves by trying to make another
17 simple change, which was to specify that notice be given by
18 certified mail or some other way of ensuring that notice of
19 violations were received. Which, frankly, was a lot
20 simpler than this.

21 So, my strong inclination is to recommend
22 approval and to approve the package that's in front of us,
23 and hope that between Kristen Driskell and Commissioner
24 McAllister, our efficiency lead, and the staff team we will
25 pursue this issue to the extent it needs to be pursued, and

33

1 address it substantively to the extent it needs to be
2 addressed.

3 I don't disagree that it's important but I
4 don't -- it doesn't sound to me like an issue affecting one
5 product is so important that the adoption of our
6 regulations on appliance enforcement, appliance standards
7 enforcement should be put off for the amount of time that
8 it would take to resolve it.

9 COMMISSIONER MC ALLISTER: Yeah, thanks for that.
10 I agree with that assessment.

11 Well, we have one more comment, actually, so
12 let's get it --

13 CHAIR WEISENMILLER: We have one more comment and
14 that is online, Paul Lin.

15 MR. LIN: Hi, can you guys hear me?

16 COMMISSIONER MC ALLISTER: Yeah.

17 MR. LIN: So, I think Gary touched on it a little
18 bit. But, you know, for us, we're a manufacturer of
19 electric motors that goes into the swimming pool after
20 market. And currently, there is no database for a motor
21 replacement so I'm not sure how we would be in compliance,
22 as a manufacturer selling motors into the swimming pool
23 aftermarket when there is no database of compliant motors.

24 CHAIR WEISENMILLER: Staff, any comments?

25 MR. NUFFER: I honestly don't know why there is

1 no -- we have a database. I honestly don't know why those
2 particular models aren't being listed. I can certainly
3 find out and get back to you.

4 COMMISSIONER MC ALLISTER: Yeah, these are -- oh,
5 go ahead.

6 MR. LIN: Well, I was just going to say that my
7 biggest concern is that if this rule is in effect legally
8 we can't sell any motors because our motors aren't listed,
9 nor can any of our competitors sell any motors in the
10 aftermarket.

11 COMMISSIONER MC ALLISTER: This vote is not about
12 that, correct? I mean, if this is a problem, then it's
13 been a problem and will continue to be a problem, but it is
14 not actually on the docket today. Is that a correct
15 statement?

16 MR. NUFFER: Yes.

17 MR. LEMEI: Yeah, this is an issue that goes to
18 the substantive regulations in 1601 through 1608. The
19 creation of an enforcement, of a process to assess monetary
20 penalties for violations of the enforcement regulations
21 does not relate to the specific problem, the specific
22 substantive issue that Mr. Lin is raising.

23 MR. NUFFER: And we can certainly work on that
24 issue in another setting.

25 COMMISSIONER MC ALLISTER: Okay, so this is about

1 what we're going to do when we find a violation. And the
2 discussion has been more about whether or not a specific
3 circumstance is a violation, and that's not really what
4 we're talking about today so --

5 MR. LEMEI: Correct.

6 COMMISSIONER MC ALLISTER: Okay, so I'm
7 comfortable moving forward with this, having raised a flag
8 on the issues that Mr. Fernstrom brings up and sort of
9 lighting a fire a little bit to dig into that, to see what
10 the level of urgency is and to figure out a path forward to
11 fix it.

12 So, hold on just one second. Yeah, so, you know,
13 Mr. Messner, I want to move on from that issue. I'm
14 comfortable where we're going to land on that if we bring
15 forward this, and vote it out.

16 Mr. Messner brought up an issue that's about the
17 cap and I just want to make sure that we consider -- I know
18 we considered it on, I think, multiple occasions. In my
19 view, it's not about good government as, you know, self-
20 limiting to some artificial cap. It's really about how we
21 exercise this authority going forward.

22 And I think, I believe strongly that we will show
23 good government at each decision and don't really feel the
24 need to tie our hands on that in really any way, certainly
25 not adopting a cap.

1 But I wanted to see if staff had a more in-depth
2 consideration of that.

3 MR. NUFFER: We did consider that. We looked at
4 other agencies that have caps. DOE used to have a cap,
5 they don't any longer, as I understand.

6 But the Commission has nine factors that they
7 must consider in assessing a monetary penalty. And that in
8 a way precludes setting a penalty, setting a cap on
9 penalties.

10 COMMISSIONER MC ALLISTER: And that would include
11 the example that he brings up, for example, where an
12 engineer makes an honest mistake and sort of we dig that up
13 and they say, oh, gosh, we'll fix it ASAP, and they
14 demonstrate that they have good faith in the process. That
15 would influence us strongly, correct?

16 MR. NUFFER: Yes.

17 MR. LEMEI: You would be required to consider the
18 willfulness of the violation. You would be required to
19 consider the amount of energy wasted due to the violation.

20 In that example where the -- and you'd be
21 required to consider the number of violations, potentially
22 even as a mitigating factor when assessed on a per-unit
23 basis in consideration of the amount of energy wasted.

24 So, you would be required, compelled to consider
25 these other considerations in assessing your monetary

1 penalty.

2 And I'll just correct that with the addition, the
3 separation of the two factors, the Energy Commission
4 actually has ten factors to consider, not nine.

5 COMMISSIONER MC ALLISTER: Right. Okay, thanks.

6 MR. MESSNER: And just a quick comment. That's
7 all true, obviously. It boils down to, yeah, just trust
8 us, we're the government. And that's -- you all may or are
9 very responsible and that's fine, but this is a -- you're
10 not Supreme Court Justices and don't have life
11 appointments. So, there will be other Commissioners and
12 this is a regulation for the Commission, and so there
13 should be some kind of ability -- I mean, we've just heard
14 an example today where there could be pool pumps and now
15 there's this -- and this happens a lot, which is fine,
16 there's a lot of good ability to work with the CEC when
17 there's a problem for us with the Federal standards, and
18 test procedures and we can say, okay, let's keep working
19 through it.

20 But when there's an enforcement hanging out there
21 of potentially, theoretically, millions and millions of
22 dollars, it's a whole different scenario where that
23 companies and lawyers aren't going to say go ahead and just
24 sell the pool pumps because we heard from one of the staff,
25 and we got an e-mail, it's okay and we'll work it out on

38

1 the next regulations. Because they are liable, now, for a
2 potential fine of unlimited amounts. So, it's a totally
3 different scenario and we just don't -- we need -- there
4 should be some trust from the government that there's not
5 abuse to the systems.

6 COMMISSIONER MC ALLISTER: Well, I actually don't
7 agree that it just boils down to we're the government,
8 trust us. I mean, we've built in a whole bunch of things
9 that do require us to take mitigating factors into account.

10 And on the flip side I mean, you know, while I
11 don't think any of your members will go down that, we --
12 will go down the path, you know, we don't want this to just
13 be seen as, oh, well, the funds, you know, the funds are
14 small enough, they're just the cost of doing business so
15 we're going to plow forward and sell, you know,
16 unregistered equipment or equipment that doesn't apply.

17 So, you know, there is a responsibility on you
18 and your members to comply. So, you know, I'm certainly
19 not saying that will happen and, obviously, our first line
20 is to help with compliance, and facilitate compliance. And
21 that, I think, will be a good faith effort, you know, a
22 collaborative effort to make sure that the marketplace is
23 in conformance, broadly.

24 But, you know, you're saying we're the industry,
25 trust us. And so, you know, we have to come down at some

1 place and I'm comfortable where we are.

2 COMMISSIONER DOUGLAS: I think beyond that, I'll
3 just say that while I appreciate both your sentiment and
4 your persistence, we really noticed this because we need to
5 bring it back to the Business Meeting because we made a
6 change that you requested. It maybe wasn't the highest on
7 the list, but that's the change we're here to consider
8 today and I think we should fairly quickly move on with it.

9 MR. MESSNER: Okay, thank you.

10 COMMISSIONER DOUGLAS: Thank you.

11 CHAIR WEISENMILLER: I was just going to note
12 that I think I would assume the current Commission will set
13 precedence in this area.

14 COMMISSIONER DOUGLAS: Yes.

15 CHAIR WEISENMILLER: Which will impact the
16 Commission over the longer time.

17 COMMISSIONER MC ALLISTER: Yeah, right.

18 CHAIR WEISENMILLER: Yeah.

19 COMMISSIONER MC ALLISTER: Okay, if we're ready,
20 any other comments or anything? Any comments from the
21 room?

22 So, I will move Item 6.

23 COMMISSIONER DOUGLAS: Second.

24 CHAIR WEISENMILLER: All those in favor?

25 (Ayes)

1 CHAIR WEISENMILLER: This item passes
2 unanimously. Thank you.

3 Let's go on to Item 7, which is Energy Efficiency
4 Standards for HVAC air filters, dimming fluorescent
5 ballast, heat pump water chilling packages and federal
6 updates.

7 Ken Rider, please.

8 MR. RIDER: Great. Good morning Chair and
9 Commissioners. I am Ken Rider, an Electrical Engineer with
10 the Appliance Efficiency Program, here at the Energy
11 Commission. I'm here to present to you on Item 7, which is
12 the possible adoption of new energy efficiency regulations
13 for HVAC air filters, dimming fluorescent ballasts and heat
14 pump water chilling packages.

15 In addition, the proposed regulations contain
16 updates in the amendments designed to align our California
17 regulations with recent changes to Federal law.

18 The proposed regulations are a model of
19 regulatory coordination in that each of the new regulations
20 is designed to support -- or in support of the Title 24
21 Building Code.

22 Air filters ensure the proper operation of HVAC
23 equipment by keeping internal components clean and free of
24 particulate buildup that causes lower equipment efficiency,
25 reduced reliability, and diminished heat transfer.

1 The proposed regulations for HVAC air filters
2 would require them to be labeled in a way consistent and
3 supportive of Title 24 air filter right-sizing code.

4 Additional benefit will result when consumers and
5 contractors are able to find and match an air filter's
6 characteristics when replacing an old filter with a new
7 one.

8 The proposed standards use industry-accepted test
9 methods, developed by AHRI and ASHRAE to determine the
10 minimum efficiency reporting value, also known as MER, the
11 particle size efficiency and air flow resistances for
12 purposes of certification and labeling.

13 Staff estimates the incremental cost to consumers
14 as a result of labeling will be eight cents a year, for two
15 air filter replacements, with the benefit of right-sizing,
16 resulting in \$1.32 in natural gas and electricity energy
17 savings.

18 Statewide it is estimated that the total energy
19 savings from labeling will amount to 30 gigawatt hours per
20 year of electricity and 5.6 million therms per year of
21 natural gas.

22 Dimming fluorescent ballasts are devices used to
23 power and enable the dimming of linear fluorescent lamps.
24 The scope of the proposed regulations include dimming
25 ballasts used to power between one and four T-5 or T-8

1 four-foot linear fluorescent lamps to levels 50 percent or
2 below of full output.

3 Historically, these types of ballasts have been
4 used in small quantities. However, changes in the 2013
5 Building Energy Code are expected to increase the use of
6 these ballasts in new construction and alterations.

7 While Federal standards exist for many types of
8 fluorescent ballasts, these types of fluorescent ballasts
9 do not currently have standards.

10 The proposed standards are important to closing
11 this gap and ensuring that these devices operate
12 efficiently. The proposed standards would require dimming
13 fluorescent ballasts to meet ballast luminous efficacy,
14 power factor, and standby levels that improve efficiency.

15 The proposed standards are technically feasible
16 and there are ballasts across major manufacturers and power
17 outputs that meet the standard levels today.

18 The incremental cost per ballast is estimated to
19 be between \$.79 and \$1.09, depending on how many lamps they
20 can power, with an expected lifetime dollar savings between
21 \$8.71 and \$34.58, respectively. So, very highly cost
22 effective.

23 The proposed dimming fluorescent ballast
24 standards will save electricity at an estimated rate of 388
25 gigawatt hours per year, for the year 2029, resulting in

1 emission reductions of .13 million metric tons of CO2
2 equivalent the same year.

3 Heat pump water chilling packages are used to
4 chill water for space cooling, as well as heat water for
5 space heating and domestic hot water use. While these
6 products can be used in energy efficient building design,
7 they have been difficult to implement due to a lack of
8 verifiable performance data to use in building inspection
9 and compliance software, as required by Title 24 Building
10 Energy Code.

11 The proposed regulations would use an industry-
12 accepted test method, ANSI HRI 550, 590, and require
13 product performance certification to the California Energy
14 Commission. This will provide a database of measured
15 performance parameters that can be used to verify
16 compliance and further enable the use of this technology.

17 The proposed regulations before you today have
18 been revised from the original language in response to
19 stakeholder comments. Changes to dimming fluorescent
20 ballast regulations were made to enhance clarity in
21 response to industry and IOU comments.

22 Air filter labeling was altered to further meet
23 the needs of Title 24 and to meet requests from 3M to
24 simplify testing.

25 Several modifications were made to further align

1 the standards with new Federal regulations, as requested by
2 stakeholders such as AHAM and the California IOUs.

3 In addition, the water products were removed from
4 the proposed regulations as they were adopted expeditiously
5 by the Energy Commission at the last Business Meeting on
6 April 8th.

7 The proposed regulations come after careful
8 consideration of all stakeholder comments, including those
9 submitted on May 8th, at the end of the 15-day comment
10 period on the revisions to the proposed regulations.

11 Staff also carefully considered alternatives and
12 economic impact of the proposed regulations as it developed
13 its recommendation, as characterized in the standard
14 regulatory impact analysis, and summarized in the proposed
15 resolution.

16 Staff recommends the adoption of the proposed
17 regulations as revised in the 15-day language because it
18 will bring feasible and cost-effective energy savings to
19 the State of California.

20 This item is divided into subparts A and B. In
21 addition to the rulemaking documents provided to the
22 requirements of the Administrative Procedures Act, the
23 Energy Commission also released an initial study and
24 proposed negative declaration, including a finding of no
25 significant impact under the California Environmental

1 Quality Act.

2 The negative declaration was available for the
3 required 30-day comment period and no comments were
4 received.

5 Staff recommends the adoption of the negative
6 declaration, as well as the adoption of a resolution that
7 would implement the proposed standards.

8 In addition, staff recommends that the language
9 be adopted with a change to the definition of particle size
10 efficiency. The phrase, also known as particle size
11 removal efficiency, should be removed from the definition
12 of pressure drop and added to the definition of particle
13 size efficiency. And I believe that's incorporated into
14 the resolution that you have before you.

15 Thank you.

16 CHAIR WEISENMILLER: Thank you.

17 I believe we have three comments. Let's start
18 with the room in the room, Charles Kim.

19 MR. KIM: Thank you, Chair and Commissioners.

20 I'm Charles Kim of Southern California Edison Company. I'm
21 speaking on behalf of California IOUs.

22 We, California IOUs, fully support adopting
23 proposed measures for energy efficiency regulations. I'd
24 like to take a moment to thank CEC and CEC staff for making
25 these measures possible for adoption. And I know that

1 there are a lot of collaboration work that has been done,
2 reaching out to various stakeholders, and reconcile all the
3 differences into these proposed regulations.

4 In particular, dimming ballast is the measure
5 that clearly demonstrate CEC's, therefore California's
6 leadership on energy efficiency. So, I'd like to take a
7 moment to commend all the staff who worked on this
8 particular topic.

9 And, once again, we support this measure for
10 adoption for regulations. And thank you very much.

11 CHAIR WEISENMILLER: Thank you.

12 I guess we have one other party in the room, as I
13 was just reminded, Kevin Messner, please.

14 MR. MESSNER: Thank you. Kevin Messner, on
15 behalf of the Association of Appliance Manufacturers.

16 I just want to say thank you for working with us
17 on the technical changes. There's a lot of technical
18 changes for our stuff. And we're very supportive of
19 continuing to doing these changes on a regular basis, which
20 I know from staff that you guys are willing to do, too, and
21 anxious to do. I don't know if anxious is the right
22 characterization, but you guys are willing to do.

23 So, thank you for working with us. There may be
24 some technical issues here we have with this, we'll look
25 through it some more. But thank you.

1 CHAIR WEISENMILLER: Great. Great, thank you.
2 So, let's go on the line, let's start with AHRI.
3 MS. PETRILLO-GROH: Yes, hi, can you hear me?
4 CHAIR WEISENMILLER: Yes, we can.
5 MS. PETRILLO-GROW: Great, thank you. This is
6 Laura Petrillo-Groh. I'm the Engineering Manager of
7 Regulatory Affairs at the Air Conditioning, Heating and
8 Refrigeration Institute.
9 AS many of you know, AHRI is a trade association
10 representing over 300 manufacturers of heating, cooling,
11 water heating, and commercial refrigeration equipment.
12 We tracked the development of the 2014 Appliance
13 Efficiency rulemaking very closely and we appreciate some
14 of our comments are taken into consideration. However,
15 there are, as recently as the 15-day language, several
16 comments which have not been taken into consideration and
17 I'd like to raise those issues, now.
18 While we do appreciate CEC's intent to harmonize,
19 it sounds like, regulations with Federal minimum efficiency
20 standards and test procedures, there is no test procedure
21 to establish rating for the evaporatively cooled computer
22 air conditioners. And we would request that those products
23 be removed from Table C-9, and also references to ASHRAE
24 127 be removed because they do not cover this evaporatively
25 cooled products.

1 There are also issues with the data submittal
2 requirements for heat pumps. Right now, there's a required
3 field for average off-mode power consumption and the U.S.
4 Department of Energy has not published a test procedure for
5 that, so no -- we're not going to be able to submit any,
6 upload any forms because there will be a problem with the
7 validation. We will not be able to input any data in this
8 field until there is a test procedure.

9 Likewise, there's a problem, there's a continuing
10 problem with the data submittal requirements for the
11 residential furnace stands. Right now, that does not go
12 into effect until July 3rd, 2019, Federally. And until
13 that time we ask the CEC to make that, the SER field
14 optional.

15 But we also continue to have some concerns with
16 the data reporting requirements for air filters and the
17 air-cooled -- and the heat pump water chilling packages.

18 Thank you very much for allowing me to speak.

19 CHAIR WEISENMILLER: Sure, thank you.

20 I think we have one more party on the line.

21 MR. ROY: Yes, good morning, this is Aniruddh
22 Roy, with Goodman. I would second some of the comments
23 that AHRI has made. We're a manufacturer of light
24 commercial and residential heating and cooling equipment in
25 the USA. And we have some concerns with respect to the

1 off-mode reporting requirements for central ACs and heat
2 pumps, as well as the reporting requirements of FER for
3 residential furnace fans.

4 I'll get to the central air conditioners and heat
5 pumps, first. The test procedure has not been issued by
6 DOE and DOE has issued an official statement saying that,
7 you know, that there will be a 180-day period after the
8 publication of a final rule establishing a test method for
9 measuring off-mode electrical power consumption. And that
10 180-day period will allow the manufacturers to rate their
11 products based on that test and then report those values to
12 DOE.

13 And then, as far as the furnace fans are
14 concerned, typically, you know, when a Federal standard is
15 set manufacturers have five years. And we believe that
16 rather than making it mandatory, if the requirement is made
17 option, then manufacturers who want to report FER early can
18 do so, but that the CEC should not require that -- you
19 know, this information be reported prior to that date
20 because that might cause some issues. Again, you know, the
21 industry does require some time to get used to the new test
22 procedure, which was recently issued, as well as be able to
23 rate per the sampling plan outlined by DOE. And that's why
24 the five-year period was given.

25 So, we request that CEC and, of course, the

1 Commission, the Commissioners consider this request. Thank
2 you.

3 CHAIR WEISENMILLER: Thank you.

4 Anyone else on the line?

5 Okay, so staff, do you have responses to the
6 comments?

7 MR. RIDER: Yes. So, the regulations that are
8 proposed for adoption today align to the maximum to the
9 Federal proposed regulation. The Feds are busy making
10 several revisions that they've mentioned on the phone
11 today, and we will continue to track them.

12 Unfortunately, we are not able to adopt things
13 that disagree with what the Federal language says. And for
14 now we are aligned to the maximum extent possible. And
15 that has caused some of the issues that AHRI and this other
16 gentleman, I think from Goodman, mentioned. And we look to
17 the Federal, to the DOE to make changes to address those.
18 And we will continue to track and update our regulations as
19 DOE resolves these issues.

20 But until they do, we cannot do things that do
21 not align with the Federal requirements.

22 MR. BABULA: Yeah, I'd just also comment. This
23 is Jared Babula, Staff Counsel.

24 The AHRI representative said that we had failed
25 to consider their comments. And I just want to be clear

1 that just because it doesn't end up being a change doesn't
2 mean we didn't consider the comments. Staff did consider
3 all the comments that came in and we are aware of a number
4 of the issues. And a lot of the comments were outside,
5 really, the scope of the specific things we were looking to
6 change in this particular rulemaking, which is dimming
7 ballasts, and the air filters, and so forth.

8 And so while there was a discussion in the
9 comments about evaporative cooling systems for computer
10 room air conditionings, that's just something that wasn't
11 part of this rulemaking. And it's something that we're
12 aware of and we'll look into further moving forward. Thank
13 you.

14 CHAIR WEISENMILLER: Okay, thank you.

15 So, let's turn to the dais.

16 COMMISSIONER MC ALLISTER: Yeah, I want to thank
17 Ken, and Harinder, and the staff, Jared, for all their hard
18 work on this. I'm very happy to have this coming to a
19 conclusion. I think it's been a lot of work, a lot of back
20 and forth with stakeholders. And, you know, not always
21 agreement on every detail, but I feel like we've come to a
22 good place.

23 Just to give an example, you know, on the MRV
24 labeling, I hear from -- have heard from a number of
25 contractors out there in the field that just it's a common

1 sense thing they need to have the label right there, so
2 they know what filter they're installing and whether it's
3 compatible with that HVAC unit. And it actually makes
4 their work more effective because they can install the
5 right filter in the right place.

6 And before, they would have to go find a place,
7 and go look at a table, and look online, or whatever to
8 know, oh, okay, this model number, what is it's MRV and,
9 you know, that's just inefficient.

10 So, I think having that kind of information right
11 there for action is a good thing, just to give one example.

12 I think the technical merits of all of these
13 devices are good, and very solid, and going to save a lot
14 of energy, so I'm happy to move this forward.

15 Any other comments from anybody? Okay.

16 COMMISSIONER HOCHSCHILD: Just gratitude that
17 this thorny issue is in the hands of our capable
18 Commissioner McAllister.

19 COMMISSIONER MC ALLISTER: So, just to put it in
20 context, this is one of a number of kind of flights, if you
21 will, within a larger OIR. So, this is a group of devices
22 that have been grouped together to get through the process
23 and have the stakeholder interactions, and get it to the
24 finish line. But there are other flights coming up within
25 the broader OIR, and many more devices. You know, we open

1 the computers and monitors once last month and that's got
2 its group of stakeholders. So, each one moves forward kind
3 of on its own timeline and on its own merits. But I'm
4 really glad to have this group to the finish line.

5 So, I'll move Item 7.

6 COMMISSIONER HOCHSCHILD: Second.

7 CHAIR WEISENMILLER: All those in favor?

8 (Ayes)

9 CHAIR WEISENMILLER: Item 7 passes unanimously.

10 Let's go on to Item 8, which is Trinity
11 Technology Group. Jennifer Campagna.

12 MS. CAMPAGNA: Good morning, Chairman and
13 Commissioners. My name is Jennifer Campagna, Supervisor
14 for the RPS Unit, in the Renewable Energy Division.

15 I am here to present Item Number 8 on the
16 Business Meeting Agenda, which is to ask your approval of
17 an IT Master Services Agreement with Trinity Technology
18 Group.

19 The contract is in the amount of \$1,998,950. If
20 approved, Trinity will develop a new database system for
21 the continued implementation of the RPS Program.

22 For the past several years the RPS staff have
23 been relying on mostly manual procedures in a Microsoft
24 Access database to process the RPS certification
25 applications, and to verify the utilities' verification

1 data.

2 The Access database does not have the storage
3 capacity to accommodate the large amounts of data that we
4 handle and expect to handle in the future. And it also
5 does not have the functionality to perform the types of
6 analysis that we need to conduct in an efficient manner.

7 Our primary customers in the RPS Unit include the
8 POU's, the retail sellers, renewable generation facilities,
9 the PUC, AIR, and other divisions within the Energy
10 Commission.

11 In addition, this RPS data is used in tracking
12 progress, the IEPR, and other data requests, including
13 those from the Governor and Legislature.

14 This new database will provide streamlined
15 reporting for our customers and will provide for a much
16 faster turnaround time for staff who are responding to the
17 data requests.

18 The new database will also provide a user-
19 friendly web-based interface, where our customers can have
20 secure access to their records, and they will be able to
21 manage and update their company contact information and
22 their project data quickly and efficiently.

23 The new database will replace the manual
24 processes that currently consume staff time and resources.
25 It will allow us to conduct complex queries necessary for

1 verification of RPS data.

2 Overall, the efficiency will result in much
3 faster turnaround times of products coming out of the RPS
4 unit. For example, currently, completeness checks for
5 certification applications take around 15 to 20 days, and
6 we expect the new database to take that down to about three
7 days.

8 We expect the database to be fully operational by
9 November 2016. And that concludes my presentation. I
10 appreciate your consideration of this item and I'm happy to
11 answer any questions. Thank you.

12 CHAIR WEISENMILLER: Thank you.

13 Okay, I'm going to turn to the Commissioners.

14 COMMISSIONER HOCHSCHILD: So, Mr. Chair, this is
15 part of the streamlining and modernization we're trying to
16 do across the Commission. When I first started in this
17 role two years ago, one of the complaints we got from, you
18 know, renewable companies was that some of the issues were
19 taking up to three months. We've worked very hard to get
20 that down to three weeks. This will help us get even
21 closer to three days and I think will be a win/win for the
22 stakeholders and our staff.

23 So, I'd ask for the support of my colleagues.

24 And I'd move the item, unless anyone has comments.

25 COMMISSIONER MC ALLISTER: I'll second.

1 CHAIR WEISENMILLER: All those in favor?

2 (Ayes)

3 CHAIR WEISENMILLER: This passes five to zero.

4 Thank you.

5 MS. CAMPAGNA: Thank you.

6 CHAIR WEISENMILLER: Let's go to Item Number 9,
7 which is Mendocino Land Trust, Inc. And this is Jacob
8 Orenberg.

9 MR. ORENBERG: Good morning Chair and
10 Commissioners. My name is Jacob Orenberg and I am the
11 Project Manager for this proposed grant to Mendocino Land
12 Trust.

13 This grant will use \$498,040 of Energy Commission
14 funds to purchase and install electric vehicle chargers at
15 ten California State Parks, and two corridor charging sites
16 in Mendocino County.

17 Each State Park will install two level one and
18 two level two charging ports. And each corridor site will
19 install two level one and one level two charging ports, as
20 well as a DC fast charger.

21 Mendocino County currently has limited public
22 charging options for electric vehicles, so this network of
23 chargers will allow for improved travel by electric
24 vehicles within the County.

25 This project was recommended for funding in the

57

1 July 3rd, 2014 Revised Notice of Proposed Awards, for Grant
2 Solicitation PON-13-606.

3 Staff requests approval of Agenda Item 9 and I
4 can answer any questions you may have about this.

5 CHAIR WEISENMILLER: Okay, thank you.

6 I believe we have Doug Kern on the line.

7 MR. KERN: Hello, this is Doug Kern.

8 CHAIR WEISENMILLER: Please, go forward.

9 MR. KERN: Can you hear me?

10 CHAIR WEISENMILLER: Yes, we can.

11 MR. KERN: Oh, very good. Thank you. Good
12 morning, Commissioners. My name is Doug Kern and I'm the
13 Director of Watershed Restoration for the Mendocino Land
14 Trust. Thank you to the California Energy Commission for
15 this grant award to install electric vehicle charging
16 stations at 12 locations in Mendocino County.

17 This grant is a great opportunity for our local
18 community, as well as visitors to the Mendocino Coast. Not
19 only are we part of the solution to climate change and the
20 reduction of air pollution, we're bringing economic
21 development dollars to the area, and increasing
22 opportunities for further tourism on the coast. It's a
23 huge positive win for conservation in Mendocino County.

24 I want to particularly acknowledge Jacob
25 Orenberg, California Energy Commission staff, for his

1 comprehensive assistance in getting this done. Thank you
2 very much. That concludes my comments.

3 CHAIR WEISENMILLER: Thank you.

4 Any other comments in the room or on the phone?

5 So, let's turn to the Commissioners.

6 Commissioner Scott.

7 COMMISSIONER SCOTT: I don't have any other
8 comments to add. But thank you, Mr. Kern, for joining us
9 this morning.

10 I will move approval of Item 9.

11 COMMISSIONER HOCHSCHILD: Second.

12 CHAIR WEISENMILLER: Okay, all those in favor?

13 (Ayes)

14 CHAIR WEISENMILLER: This passes five to zero.

15 Thank you.

16 Let's go to Item Number 10, which is Zero
17 Motorcycles, Inc. And Darren, go forward.

18 MR. NGUYEN: Good morning, Commissioners. My
19 name is Darren Nguyen, from the Fuels and Transportation
20 Division.

21 I am seeking approval for an agreement with Zero
22 Motorcycles, resulting from the manufacturing PON 14604.
23 The purpose of this solicitation is to encourage the
24 manufacturing of alternative fuel vehicles and vehicle
25 components in California that can reduce greenhouse gas

1 emissions, displace petroleum fuel demand and stimulate
2 economic development.

3 The following project will develop advanced
4 vehicle technology manufacturing facility in California
5 that will produce zero emission vehicles.

6 Zero Motorcycles will design, manufacture and
7 sell high-performance electric motorcycles. Zero's primary
8 goal is to achieve a doubling of its manufacturing
9 capability by the end of the project.

10 Zero will improve productivity by 25 percent and
11 install a new production line to enable the overall goal of
12 doubling capacity from 4,000 units to 8,000 units per year.

13 This project will also allow Zero to continue to
14 manufacture competitive products in California with an
15 increase in product at reduced costs.

16 Thank you for your consideration of this item.
17 Jay Friedland is here, representing Zero Motorcycles, and
18 would like to comment.

19 CHAIR WEISENMILLER: Please, go ahead.

20 MR. FRIEDLAND: Good morning Commissioners and
21 staff. My name is Jay Friedland. I'm the Vice-President
22 of Government Relations for Zero Motorcycles.

23 And it's an absolute pleasure to be here today.
24 And I want to particularly thank the Energy Commission and
25 the Commissioners, especially Commissioner Scott on her

1 leadership for the ARFVTP program.

2 You know, and I have to add a special amount of
3 thanks for the work that Darren has done and, in fact, all
4 of the Energy Commission staff over the last few years in
5 terms of supporting Zero Motorcycles.

6 We've from in 2010, from about 30 people, in
7 2012, 60 people, and now we're over 110 people. So, we're
8 not Tesla, but we are a large, relatively, electric vehicle
9 manufacturer in the State of California.

10 Probably more importantly, we've shipped over
11 5,000 of these motorcycles across the world and that is
12 making a significant impact.

13 And to give you a feeling about the impact, you
14 know, our bikes, our current bikes get about 460 miles per
15 gallon in equivalent, MPGE, as opposed to the average,
16 regular internal combustion motorcycle getting about 50
17 miles per gallon. So, it's almost a factor of 10.

18 So, in terms of petroleum reductions and clearly,
19 also in terms of pollution, and criteria pollutants,
20 particularly, it makes a very, very significant difference.

21 We also think we're making a difference in the
22 fact that there's a significant amount of industry growth.
23 We've actually, in essence, created and commercialized an
24 industry that did not exist before. And the Commission has
25 played a major role in supporting us in that. From, you

61

1 know, in supporting our R&D, to supporting our increases in
2 manufacturing.

3 To give you an example, Scarlett Johansson is
4 riding an electric Harley Motorcycle in the latest *Avengers*
5 movie, and that would not have happened if this industry
6 hadn't started, and if Zero hadn't had the leadership. And
7 we've actually found that that's actually helping our sales
8 because you can't go buy an electric Harley today, but you
9 can buy a Zero.

10 (Laughter)

11 MR. FRIEDLAND: And so, these are very, very
12 fast. They're cool. And, of course, they're
13 environmentally friendly.

14 And so thanks to -- I also want to add, thanks to
15 our dealer, our motorcycle dealer in Elk Grove, which is
16 just south of Sacramento, we have several of the bikes
17 outside today. So that if you want to come look at them
18 over lunch we'd really enjoy, you know, particularly if the
19 Commissioners want to take a look, any of the staff, and
20 any of the people attending would like to see that.

21 And we also want to extend an open invitation to
22 come visit our facility in Scotts Valley. It's our
23 headquarters and factory and we would very much, you know,
24 like any of you to come take a look and come down. And if
25 you want to put on your riding gear, certainly, you're

1 welcome to take a ride, as well.

2 So again, we want to just thank you for all of
3 your support and really appreciate the capability that
4 you've given us.

5 CHAIR WEISENMILLER: Great, thank you. Who
6 knows, Tesla may have envy for you for your product
7 placement in the movie.

8 (Laughter)

9 CHAIR WEISENMILLER: So, any other comments in
10 the room or on the line?

11 Then Commissioners?

12 COMMISSIONER SCOTT: Yeah, I just thank you for
13 coming today. And I would encourage folks to go out and to
14 take a look at the motorcycles. This is a great project, I
15 think, because it does, it sort of shows that we can help
16 seed good ideas and then kind of watch them grow with the
17 money that we are able to invest with this program.

18 And it's pretty exciting to hear how many
19 Californians we've been able to put to work as the facility
20 expands.

21 So, I would move approval of Item 10, unless
22 there's other comments.

23 COMMISSIONER HOCHSCHILD: Yeah, I just want to
24 chime in. I want to thank Commissioner Scott for her
25 leadership to help see successes like this. And Chairman

63

1 Weisenmiller, I know you've talked for a long time about
2 the need to reduce emissions in the transportation sector.

3 It's just interesting to see the sort of
4 electrification blossoming. We also, obviously, are
5 building a factor for electric busses, now, with Protera,
6 who has 300 employees moving into California.

7 And I, myself, just bought an electric bicycle.
8 I told this story at the IEPR workshop yesterday. So, I
9 have a nine-year-old daughter. I got one of those
10 attachments so she could ride behind me. And there's this
11 guy, we're going up a hill, and there's a guy kind of
12 dressed like he's racing the Tour de France. But I passed
13 him with my kid on the back. He didn't know I had an
14 electric bike, so I felt like --

15 (Laughter)

16 COMMISSIONER HOCHSCHILD: But, you know, I just
17 see all of this innovation I think is actually going to
18 continue. And, actually, these industries leverage off
19 each other, the improvements in battery technology, and
20 procurement, and manufacturing. So, it's just really
21 exciting to see success.

22 And I'm sure offering rides to potential
23 customers, with Scarlett Johansson is a great way to get
24 more customers, so good luck to you.

25 COMMISSIONER MC ALLISTER: I Have to chime in,

1 though. Those of us who don't have electric bikes, but who
2 do ride regularly, feel some indignance at --

3 (Laughter)

4 COMMISSIONER MC ALLISTER: -- at the little, old
5 lady passing us like she's not even working hard. So,
6 anyway, I'm not sure what that means about my inclination
7 to buy one, but I do think it's great technology that will
8 help really take much more broadly technology that's going
9 to be low emissions.

10 Again, a lot of people, say, on bicycles that
11 maybe wouldn't otherwise ride them as regularly. And,
12 similarly, you know, there's a factor there that I think
13 can push the marketplace to new places. So, I think it's
14 just really good broad development across the board. So,
15 thanks for your leadership.

16 So, I'll second.

17 CHAIR WEISENMILLER: Okay, all those in favor?

18 (Ayes)

19 CHAIR WEISENMILLER: This passes five to zero.

20 Thank you.

21 MR. NGUYEN: Thank you.

22 MR. FRIEDLAND: Thank you very much.

23 CHAIR WEISENMILLER: Yes, thank you.

24 So, let's go to Number 11, which is medium- and
25 heavy-duty advanced vehicle technology demonstration.

1 Larry, please.

2 MR. RILLERA: Good morning, Chair and
3 Commissioners. My name is Larry Rillera, with the Fuels
4 and Transportation Division.

5 I'm seeking approval of five agreements for a
6 total of \$14,865,687 resulting from the medium- and heavy-
7 duty advanced vehicle technology demonstration
8 solicitation.

9 The purpose of the solicitation was to encourage
10 the demonstration of advanced truck technologies in
11 communities throughout California. Field demonstration of
12 these technologies reduces greenhouse gas emissions,
13 displaces petroleum fuel demand, stimulates economic
14 development, and enhances market acceptance, and leads to
15 commercial production and commercialization.

16 Staff would note that all of the projects
17 recommended for funding will be demonstrated in
18 disadvantaged communities of the State. It is prudent to
19 demonstrate advanced zero and near-zero emission truck
20 technologies in disadvantaged communities so that these
21 communities can immediately accrue the benefits of reduced
22 pollution, and job creation and sustainability.

23 The following five projects will demonstrate
24 advanced truck technologies in California using zero and
25 near-zero emission technologies with important and critical

1 fleet partners.

2 For Item 11.a, Motiv Power Systems will
3 demonstrate three electric refuse and loader trucks in
4 disadvantaged communities in the Sacramento region. The
5 \$2.9 million grant's project team includes Rausch and the
6 City of Sacramento.

7 With respect to Item 11.b, TransPower will
8 demonstrate three heavy-duty electric refuse trucks in
9 disadvantaged communities also in the Sacramento region.
10 The \$2.8 million grants project team includes Peterbilt,
11 Waste Management and the County of Sacramento.

12 For Item 11.c, North American Repower will
13 demonstrate six plug-in, hybrid electric, renewable natural
14 gas armored security trucks in disadvantaged communities of
15 the South Coast Air Quality Management District.

16 The \$3 million grant project's team includes
17 Sectran Security and Efficient Drive Train.

18 For Item 11.d, TransPower will additionally
19 demonstrate five advanced battery electric port vehicles at
20 the Port of San Diego. The \$3 million grants project team
21 includes Dole Fresh Fruit Company and BAE Systems.

22 The last project, 11.e, TransPower will also
23 demonstrate five heavy-duty electric yard tractors in
24 various disadvantaged communities. The \$3 million grants
25 project team includes IKEA and Harris Ranch.

1 Thank you for consideration of these items. And
2 there are representatives from the companies that are
3 present today. Thank you.

4 CHAIR WEISENMILLER: Great. So, let's start
5 walking through the representatives. First is Mike Simon
6 from TransPower, if you can please come forward.

7 MR. SIMON: Good morning Chairman Weisenmiller.
8 Commissioner Scott, it's good to see you again, and the
9 rest of the Commissioners.

10 We are truly humbled by the show of support that
11 you've given us with these grants. I made the trip from
12 San Diego this morning to thank you, personally, for your
13 support. I'm the CEO and principal founder of TransPower.

14 I also just wanted to spend a minute or two
15 boasting about our products. They haven't shown up in any
16 movies, yet, but we have achieved some meaningful
17 accomplishments with technologies that were largely funded
18 by previous grants from the Energy Commission. And I
19 wanted to share with you some of what we've accomplished
20 together as a team.

21 In fact, yesterday we issued a news release
22 documenting the results of testing of our latest generation
23 electric truck, Class 8, 80,000 pound drayage truck, and
24 electric Class 8 yard tractor.

25 These vehicles were tested on the dynamometer at

1 UC Riverside a few months ago. And in addition to showing
2 a factor of a 3 to 5 improvement in energy efficiency and
3 cost effectiveness compared to diesel trucks, they also
4 demonstrated a factor of 2 to 3 improvement in efficiency
5 and cost effectiveness over previous generations of
6 electric trucks and tractors that were tested on the same
7 dyno facility in 2011, the year we received our first
8 Energy Commission grant.

9 So, there's tangible evidence here that your
10 support is moving the state of electric propulsion
11 technology forward and advancing the state of the art.

12 I think that's something that you should be proud
13 of. We're very proud of. And it is changing the landscape
14 here.

15 As a result of that the -- as a result of these
16 savings, we are starting to see tangible evidence from
17 fleet operators, including those that were mentioned by
18 Larry, Dole Fresh Fruits in San Diego, IKEA in the San
19 Joaquin Valley. And in addition to those, and I think
20 Larry also mentioned, BAE Systems and Harris Ranch, the
21 largest ranch on the West Coast.

22 We also -- as I speak today, this morning, we're
23 demonstrating one of our vehicles to Kroger, which is the
24 chain that owns Ralph's.

25 And we have also have Grimmway Farms is going to

1 operate one of our vehicles that you're funding, as a
2 defined intermodal right here in Sacramento, with the Blue
3 Diamond Facility and the Rice Cooperative is going to
4 operate vehicles.

5 And I also have Chuck White, from Waste
6 Management, here who is going to say a few words. He's
7 going to operate one of our electric refuse trucks.

8 So the old joke, what has four wheels and flies?
9 Now, it's going to be what has four wheels, produces no
10 emissions and flies? One of our electric refuse trucks.

11 CHAIR WEISENMILLER: Great thanks.

12 Hi, Chuck.

13 MR. WHITE: Am I out of order?

14 CHAIR WEISENMILLER: No, go ahead, Chuck, you
15 were next. You were the next on the cards.

16 MR. WHITE: Great, thanks. Chuck White,
17 representing Waste Management. We're really happy to be
18 here today to support the grant you're proposing to give to
19 TransPower. We're fortunate enough to be working with
20 TransPower as one of the companies that will demonstrate
21 one of their electric vehicles in a disadvantaged
22 community.

23 We have about 2,800 heavy-duty refuse trucks,
24 which we're totally committing to converting away from
25 diesel as quickly as we possibly can. We've been focusing

1 on natural gas and renewable natural gas, but we're not
2 closing off any options whatsoever. We're really excited
3 about being able to demonstrate this low renewable, low
4 carbon, electric refuse truck in California to better serve
5 our communities.

6 And as a matter of fact, recently one of our
7 trucks was featured prominently in a Transformer Movie.
8 And to the extent there's a future Transformer Movie, we'll
9 be working with Mike to make sure one of those trucks are
10 figured prominently -- one of his electric trucks is
11 figured prominently in that movie, too. Thank you.

12 COMMISSIONER MC ALLISTER: You have to get Shia
13 La Beouf in the --

14 COMMISSIONER HOCHSCHILD: What portion of your
15 fleet of 2,800 trucks is diesel today?

16 MR. WHITE: They're about 50 percent diesel.
17 Nationwide we have about 19,000. We're purchasing about
18 700 to 800 trucks per year of natural gas. The vast
19 majority of our new purchases are natural gas. But we're
20 really looking to the future in all areas, including
21 electric vehicles. And we're really excited about the
22 technology that Mike and his company have demonstrated and
23 brought to us. And we're looking forward to showing how it
24 works in California in a disadvantaged community.

25 CHAIR WEISENMILLER: Great, thank you.

1 Pete Ward.

2 MR. WARD: Good morning Chair and Commissioners.

3 It's a pleasure to be back here at the Energy Commission
4 today. I'm on behalf of North American Repower and
5 Efficient Drivetrains, Incorporated, I would like to
6 express our sincere thanks and gratitude to the Commission
7 for supporting this project, which has an outstanding team.

8 And North American Repower proposes, as a
9 business model, that is focused on replacing existing
10 diesel engines and trucks, and the resultant high end-use
11 criteria and greenhouse gas emissions with completely
12 remanufactured and warrantied engines capable of utilizing
13 biomethane, the only negative carbon transportation fuel
14 now available in California.

15 North American Repower will remove the existing
16 diesel engines from Sectran armored security trucks and
17 replace them with completely remanufactured natural gas
18 engines that will operate on biomethane.

19 But there's more. Efficient Drivetrains,
20 Incorporated will integrate their drivetrain, which is an
21 all-electric drivetrain that will basically drive these
22 vehicles in all-electric mode with the range extension of
23 the biomethane.

24 They will operate in EV mode on the road and
25 when, typically diesel idling at long periods at banks,

1 stores and malls.

2 The successful combination and merging of these
3 two innovative and disruptive technologies from these two
4 California technology companies can truly be
5 transformative, showing a very viable pathway to zero
6 emissions and negative carbon transportation. Fuel use
7 across California, especially in disadvantaged communities
8 in the Central Valley and other areas, where much of the
9 biomethane is currently being produced, and where diesel
10 emissions of NOx and PM are causing high rates of asthma
11 and respiratory disease.

12 Thank you again and I want to also thank the
13 staff. This was a really well-prepared program opportunity
14 notice, and they acted with great speed in bringing this to
15 a contract. We really appreciate that. Holding these
16 teams together for demonstrations sometimes is difficult
17 over a long period of time.

18 Thank you very much for your commitment to the
19 project and for this outstanding award, really appreciate
20 it. Thank you.

21 CHAIR WEISENMILLER: Okay, thank you.

22 Anyone else in the room or on the phone?

23 So, let's turn to Commissioner Scott.

24 COMMISSIONER SCOTT: Okay, I'd just like to -- I
25 would echo what Peter Ward just said. I think the staff

1 did a terrific job putting together this program
2 opportunity notice for the advanced vehicle technology
3 demonstrations. And it kind of shows what the broad
4 portfolio of projects that we have here, you know, we're
5 talking about electric refuse trucks, renewable natural
6 gas, hybrid-electric armored security trucks. And then the
7 battery electric port vehicles. You know, in our ports
8 it's really important to figure out how we can clean up the
9 vehicles in our ports. They're some of also the hardest
10 hit places with vehicle pollution. Heavy-duty electric
11 yard tractors. I mean, it's a really nice portfolio of
12 technologies.

13 And kind of picking up on what Commissioner
14 Hochschild said on the last agenda item, it's exciting to
15 see this technology sort of expanding out into a whole
16 bunch of different types of vehicle spaces.

17 And then I'd just like to thank Mike, and Chuck
18 and Peter for coming up to talk with us today. Thank you.

19 So, I will move approval of Item 11.

20 COMMISSIONER DOUGLAS: Second.

21 CHAIR WEISENMILLER: Okay, all those in favor?

22 (Ayes)

23 CHAIR WEISENMILLER: This item passes five to
24 zero. Great, thank you. Thank you, Larry.

25 Let's go to Number 12, which is Zero Emission

1 Vehicle Readiness Plan. And this is Sharon Purewal.

2 MS. PUREWAL: Good morning, Commissioners. My
3 name is Sharon Purewal and I'm a staff member in the Fuels
4 and Transportation Division's Emerging Fuels and
5 Technologies Office.

6 Today, staff is seeking approval of five
7 agreements submitted under Program Opportunity Notice
8 14607, which supports new and existing planning efforts for
9 plug-in electric vehicles and fuel cell electric vehicles.

10 Funding is provided through the Alternative and
11 Renewable Fuels and Vehicle Technology Program.

12 The first item, Item 12.a, the goal of proposed
13 grant ARV-1455, with the Redwood Coast Energy Authority, is
14 to utilize it's \$169,000 award to facilitate accelerated
15 fuel cell electric vehicle adoption in the North Coast and
16 upstate region.

17 Strategies in accordance with CEC Grant ARV-1312,
18 the Northwest California Alternative Transportation Fuels
19 Planning Project will be implemented, along with local
20 expertise in hydrogen fueling stations.

21 Item 12.b, under proposed grant ARV-14-056, the
22 Tahoe Regional Planning Agency proposes to develop the
23 Tahoe Truckee Regional Plug-in Electric Vehicle Readiness
24 Plan.

25 This \$200,000 award will allow coordinated

1 engagement with regional and statewide PEV partners and
2 stakeholders. Assessments will be developed to establish
3 existing conditions and to identify key needs in the Tahoe
4 Truckee Region in order to prepare for plug-in electric
5 vehicle infrastructure deployment.

6 Key sectors of this region include residents,
7 second homeowners, visitors to the area, and tourist
8 destinations such as ski resorts.

9 Item 12.c, this \$53,000 grant award, ARV-1457,
10 with the City of Palo Alto proposes to accelerate the
11 adoption of electric vehicles via electric vehicle
12 awareness and education.

13 Their subcontractors include Thiessen and
14 Associates, Reach, and Plug-In America.

15 Electric vehicle fast charging siting outreach
16 and education will be provided to potential charging sites,
17 such as multi-unit dwellings.

18 Additionally, this grant aims to conduct two
19 green car shows and ride-and-drive events at large
20 corporate campuses to increase EV knowledge and awareness.

21 Item 12.d, this \$300,000 grant, ARV-1458, with
22 the City of Mt. Shasta, proposes the development of a Plug-
23 In Electric Vehicle Readiness Plan that covers the Counties
24 of Glenn and Colusa.

25 Planning efforts include streamlining permitting

1 and inspection processes, siting and conducting public
2 outreach campaigns. Planning efforts are crucial due to
3 the significant gap for plug-in electric vehicle charging
4 infrastructure along the northern portion of California
5 Interstate 5. These efforts support the continuity of the
6 West Coast Electric Highway from Oregon and Washington.

7 Item 12.e. 12.e is Grant ARV-1459, for \$300,000
8 to the Solano Transportation Authority. The Solano
9 Transportation Authority, their subcontractor yet to be
10 announced, and cities and the unincorporated Solano County
11 municipalities propose to develop streamlined permitting
12 and inspection processes for plug-in electric vehicle
13 charging infrastructure, improve electric vehicle charging
14 infrastructure installation for multi-unit dwellings,
15 public sites and workplaces, perform outreach to potential
16 charging infrastructure site hosts, coordinate installation
17 of directional trailblazer signage on local streets and
18 roadways, to conduct PEV awareness activities and, finally,
19 to develop guidelines and resources for the adoption of
20 residential and/or nonresidential voluntary measures in the
21 California Building Codes.

22 With that, I would like to thank you for your
23 time and consideration of these measures. I'm available
24 for any questions you may have.

25 CHAIR WEISENMILLER: Thank you. I believe we

1 have a representative of the Redwood Coast Energy on the
2 line.

3 MR. CARMAN: Yes, can you hear me?

4 CHAIR WEISENMILLER: Yes, we can.

5 MR. CARMAN: Good morning, Commissioners. My
6 name's Jerome Carman. I'm with the Redwood Coast Energy
7 Authority.

8 And we want to express our appreciation for your
9 continued support for the accelerated adoption of zero
10 emission vehicles and the alternative transportation fuels.
11 Your support really has been critical for empowering local
12 governments up here and to assist the State in meeting its
13 ZEV goals, as well as addressing local economy, public
14 health, and environmental issues.

15 And, furthermore, funded projects to date have
16 facilitated important collaboration with other
17 municipalities, agencies, organizations, private companies,
18 everyone involved in this transportation project in
19 general, across the State.

20 And this coordination really has been critical
21 and your funding allows us to spend the time to build those
22 important relationships. So, thank you.

23 And we're also very excited about and support the
24 additional work you're funding up here, in Mendocino County
25 and Upstate Region. There are tons of agencies up here

1 doing great work. Too many to list. And we congratulate
2 the CEC in recognizing and supporting everyone up here in
3 the North Coast and Upstate. Thank you.

4 CHAIR WEISENMILLER: Thank you.

5 I think that's all the comments we have.

6 So, Commissioner Scott.

7 COMMISSIONER SCOTT: Sure. I have lots to say on
8 the transportation pieces today. One, thank you for
9 Redwood Coast Energy Authority for joining us today. I'm
10 really excited to have a fuel cell electric vehicle
11 readiness plan coming. I think we're excited to see some
12 more of those as the fuel cell electric vehicles -- the
13 Hyundai, as you know, has one on the road already, and
14 Toyota is supposed to bring theirs in the fall. And we can
15 hope to continue to see many more. So, getting their
16 readiness plans going there is important.

17 You know, and on the plug-in electric vehicle
18 side there are a lot of moving pieces. And California, as
19 you guys all know, is a really big State and so it's
20 incredibly helpful to have, I think, the regions really
21 stepping up to the plate to take on some of the planning,
22 and help, you know, with destinations, with some of the
23 corridor charging, with workplaces.

24 And, you know, the technology for the chargers is
25 changing. The cars are getting longer ranges. And so,

1 when you're thinking about where to put these charging
2 stations it really does help to have some regional and
3 local flavor, and also thought about where those ought to
4 go. And this is, I think, especially in light of the
5 pending decision at the Public Utilities Commission that
6 will allow, potentially, the Investor-Owned Utilities to
7 become involved in this space. Because it's just going to
8 continue changing what the landscape looks like and where
9 we want to, and where the counties want to put their
10 investments in helping to grow the infrastructure.

11 So, I wholeheartedly support this.

12 CHAIR WEISENMILLER: I was just going to channel
13 President Piccard, again, and say that he's really looking
14 for the utility's plans to be tied into local
15 transportation documents that we're developing here, as
16 opposed to just being utility-centric on where to put
17 charging.

18 COMMISSIONER MC ALLISTER: This is great. I
19 definitely wanted to comment on the fuel cell plan, as
20 well, really congratulate Redwood on that, and very, very
21 exciting.

22 Also, just the diversity of this and the fact
23 that it's in more rural areas and secondary towns that are
24 really getting into the game, and putting that
25 infrastructure in more. Really thinking about their

1 particular situations, it's just fantastic.

2 And then, totally second the idea that the local
3 transportation authorities, and the MPOs, and COGs, and
4 everything really get a hearing and get the right resources
5 in so they can make the decisions based on their reality.
6 I think it's just fantastic. So, nice job scoping and
7 getting to a finish line on this.

8 COMMISSIONER DOUGLAS: Yeah, I just wanted to
9 add, as well, I really think the concept and the strategy
10 of providing some resources to local governments to do some
11 planning in order to better get their own thinking and
12 planning in order, in terms of being ready for the
13 expansion of electric vehicles is critical.

14 And then, as the Chair noted, making the
15 connection between that and the plans that the utilities
16 may be putting forward, and that the PUC will be
17 considering is also really important. And this is,
18 obviously, essential to being able to make that connection.

19 So, I'm strongly in support of this and I'm also
20 really pleased to see, as Commissioner McAllister noted,
21 the diversity of the applications here, and that we've
22 funded in the past.

23 COMMISSIONER SCOTT: Okay, I will move approval
24 of Item 12.

25 COMMISSIONER DOUGLAS: Second.

1 COMMISSIONER SCOTT: Oh, is this 12? Yeah, 12.

2 COMMISSIONER DOUGLAS: Second.

3 CHAIR WEISENMILLER: All those in favor?

4 (Ayes)

5 CHAIR WEISENMILLER: This item also passes five
6 to zero. Thank you.

7 Let's go to Number 13, which is CO2Nexus, Inc.
8 And Paul Robinson, please.

9 MR. ROBINSON: Good morning Chair and
10 Commissioners. My name is Paul Robinson. I'm an Energy
11 Commission Specialist for the Energy Efficiency Research
12 Office, IEW Group.

13 I'm here to present an agreement with CO2Nexus on
14 their liquid carbon dioxide cleaning project with the U.S.
15 Navy.

16 The purpose of this project is to demonstrate
17 liquid carbon dioxide-based textile cleaning system to
18 determine energy and water savings, and improve processing
19 performance for cleaning technical military garments.

20 CO2Nexus the prime contractor for this project,
21 with the U.S. Navy being a key partner as well.

22 The demonstration will be held at Naval Base,
23 Ventura County, and Port Hueneme. The Energy Commission
24 will contribute funds of \$900,300, with the U.S. Navy and
25 CO2Nexus contributing match funds of a little over a

1 million dollars, bringing the total project cost to
2 approximately \$2,011,032, over a proposed term of 46
3 months.

4 CO2Nexus has completed a previous grant from the
5 Energy Commission regarding similar application with their
6 liquid carbon dioxide technology. The U.S. Navy had
7 expressed interest in the liquid carbon technology because
8 no other cleaning process offers the same potential to
9 clean military combat gear.

10 CO2Nexus will also work with the Navy field
11 personnel and other agencies to develop cleaning standards,
12 modify and demonstrate this technology, measure and
13 validate energy and water consumption.

14 The project will result in the overall reduction
15 in electricity and natural gas by 50 percent, chemical use
16 by 25 percent, and water consumption by 98 percent.

17 The demonstration will also reduce wastewater
18 treatment requirements and environmental impacts, while
19 increasing the overall garment lifecycle.

20 The project will also achieve a simple payback of
21 four years or less, with potential applications for other
22 agencies, like CHP, Cal Fire, et cetera.

23 Thank you for your consideration. Do you have
24 any questions?

25 CHAIR WEISENMILLER: Thank you.

1 Yes, Commissioners, I was going to note obviously
2 one of our strongest partners is the military, particularly
3 the Navy and the Marines, and this came out of that
4 discussion as particularly good in the drought era to be
5 looking at this.

6 And, again, it's something they're very
7 interested in. And as we come up with innovative
8 technologies through PIER and EPIC, it's always good to be
9 able to move those out in the market. And, frankly, public
10 agencies are a little bit easier. The Department of
11 Defense has a pretty large procurement budget. And so,
12 really trying to continue to deepen that relationship to
13 actually turn some of our stuff from lab bench to, you
14 know, practical applications.

15 So, anyway, I think it's a great project and
16 certainly a good demonstration of our relationship with the
17 Navy and the Marines.

18 COMMISSIONER DOUGLAS: Oh, I think it sounds
19 very -- it's very exciting and I'd like to -- I'll move
20 approval of the item, Item 13.

21 COMMISSIONER SCOTT: Second.

22 CHAIR WEISENMILLER: Okay, all those in favor?

23 (Ayes)

24 CHAIR WEISENMILLER: So, Item 15 passed five to
25 zero. Thank you.

1 MR. ROBINSON: Well, thank you.

2 CHAIR WEISENMILLER: So, let's go on to Number
3 14, which is Glint Phototonics.

4 MS. GUTIERREZ: Hi, Commissioners. My name is
5 Aleecia Gutierrez. I'm with the Energy Generation Research
6 Office and I'm presenting this item for approval today.

7 So this is an agreement with Glint Phototonics
8 for \$999,940 to develop their self-tracking concentrator
9 photovoltaic modules. And those are new solar panels
10 technologies that apply light-reactive optical materials on
11 panels to collect direct sunlight and internally
12 concentrate that into small areas for high-efficiency
13 photovoltaic cells.

14 These are expected to provide 30 percent
15 conversion efficiency, approximately double that of
16 conventional polysilicon panels, and reduce the levelized
17 cost of electricity.

18 I'd also like to note that this is a follow-on
19 project from ARPA-E and the development of this technology
20 was initially funded by an ARPA-E grant.

21 So, I'm requesting approval and can answer
22 questions, if you have any.

23 CHAIR WEISENMILLER: Great, thank you.

24 Yeah, as she said, this is another -- we have a
25 very good relationship with ARPA-E, and this is another

1 example of that where, basically, they're obviously trying
2 to put money into the really far out stuff, and the things
3 that sort of emerge from that successfully are certainly
4 strong candidates for us when they bid.

5 So, and it was an all-competitive bidding
6 process, but again a very good project.

7 COMMISSIONER HOCHSCHILD: What do we know about
8 the durability of the material in question?

9 MS. GUTIERREZ: So, it is -- they are using
10 glass. I think you had questions about that in the past.
11 So, we're going to -- this is R&D, so we'll be testing for
12 durability. It's a pretty small scale.

13 COMMISSIONER HOCHSCHILD: Yeah. That's, I think,
14 the main issue. I mean, one of the nice things about the
15 current sandwich of materials in conventional PV is, you
16 know, it's glass, it's silicon, it's EVA and, you know, a
17 substrate that's really proven.

18 And when we introduce new materials, you want to
19 make sure it's going to be able to endure for 30 years in a
20 really harsh, you know, very sunny outdoor environment.
21 And that's, you know, the test we've got to meet.

22 But this is very exciting stuff, to see this, and
23 look forward to learning where it goes.

24 MS. GUTIERREZ: Thank you.

25 COMMISSIONER HOCHSCHILD: I make the motion to

1 approve the item.

2 COMMISSIONER DOUGLAS: Second.

3 CHAIR WEISENMILLER: All those in favor?

4 (Ayes)

5 CHAIR WEISENMILLER: This passes five to zero.

6 Thanks.

7 MS. GUTIERREZ: Thank you.

8 CHAIR WEISENMILLER: Let's go on to Item 15, the
9 Trustees of the California State University. And this is
10 James Lee.

11 MR. LEE: Thank you. Good morning,
12 Commissioners. My name is James Lee, from the Energy
13 Research and Development Division.

14 Today, staff seeks the possible approval of the
15 six highest ranking grant applications totaling \$895,643
16 from the PIER Energy Innovations, Small Grant Solicitations
17 14-04, natural gas, transportation natural gas.

18 These grant were competitively selected and
19 capped at \$150,000 each. For the 14-04 solicitations, 17
20 grant applicants were received. Fourteen passed initial
21 screening on the grounds for technical review.

22 The Program Technical Review Board is
23 recommending funding for the six highest ranked proposals
24 of those 14. Five proposals are for natural gas and are
25 valued at \$745,652. One proposal is for transportation

1 natural gas and is valued at \$149,991.

2 I'd be happy to answer any questions that you may
3 have. Thank you.

4 COMMISSIONER DOUGLAS: Well, thank you. Are
5 there any questions on this item, Commissioners?

6 Okay, and I don't see any comment on this item.
7 If there is, please jump up and down, or wave your blue
8 card. I don't have any up here.

9 All right, then do we have a motion for Item 15.

10 COMMISSIONER HOCHSCHILD: So moved.

11 COMMISSIONER MC ALLISTER: I'll second.

12 COMMISSIONER DOUGLAS: All in favor?

13 (Ayes)

14 COMMISSIONER DOUGLAS: The item passes four to
15 zero and the Chair may add on in a moment, when he returns
16 to the room.

17 So, Kourtney?

18 MS. VACCARO: Yeah, I was just going to ask if we
19 could take Item 16 out of order, so instead of moving
20 forward to that, if we can move forward on the agenda. We
21 have a question that we need to look into with respect to
22 Item 16.

23 COMMISSIONER DOUGLAS: Well, that actually works
24 well because as we go on to Item 17, there's a disclosure
25 for Commissioner McAllister and I on Item 17.d. UC Davis

1 is, I understand, a subcontractor. And I am an adjunct
2 lecturer or professor at UC Davis. I teach one class.
3 It's a renewable energy law class. It happens in the
4 spring. We're just wrapping up this year's class. So,
5 that is an arrangement with King Hall, which is not
6 involved in any way with this contract. But I still need
7 to disclose the King Hall relationship.

8 Commissioner McAllister.

9 COMMISSIONER MC ALLISTER: And my wife is a
10 Professor at King Hall and is in no way involved with this,
11 nor is King Hall, itself. So, we do not have a conflict,
12 but need to disclose.

13 COMMISSIONER DOUGLAS: Very good. So with that,
14 we will take up Item 17, bringing energy efficiency
15 solutions to California's industrial, agricultural and
16 water sectors. Let's see, go ahead, Leah.

17 MS. MOHNEY: Good morning, Commissioners. My
18 name is Leah Mohny. I'm with the Industrial Ag and Water
19 Group, with the Energy Efficiency Research Office.

20 The following six grants are the result of a
21 competitive solicitation. We received 13 proposals and 8
22 were recommended for funding, for a total of \$27,050,066.

23 The two remaining grants will be presented at the
24 next Business Meeting.

25 We are seeking approval of the following grants,

89

1 17.a, University of California, Riverside. Customized
2 energy management system and supervisory control and data
3 acquisition system, or SSCDAS, are required at water and
4 wastewater treatment facilities for real-time monitoring of
5 water.

6 Some of these facilities also have legacy energy
7 management control systems. Most of these systems have
8 inherited data equipment, provided by different vendors, at
9 different times, for different projects.

10 Upgrades and modernization efforts face the
11 challenge of integrating control equipment of various
12 vintages, along with the difficulty of communicating among
13 different vendor protocols for comprehensive, real-time
14 energy management.

15 This new system consists of hardware sensors and
16 customized software that will overlay and incorporate the
17 existing SSCDAS and EMS systems without disrupting current
18 operations.

19 This project will highlight a path for water
20 agencies in California to reduce their peak energy
21 consumption, with no decrease in service or reliability.

22 The direct benefits to California IOU ratepayers
23 include an estimated annual electricity savings of 1,000
24 gigawatts, peak load reduction of 37.2 megawatts, and
25 greenhouse gas reductions of 28,300 metric tons.

1 This technology will be deployed at three sites
2 and the project term is 46 months. The match funding is
3 \$1,722,732.

4 17.b, Porifera, Incorporated. Water and energy
5 savings utilizing innovative forward osmosis systems for
6 irrigation and indirect potable reuse. Many types of
7 industrial wastewater is very difficult to treat because
8 they contain high levels of dissolved and suspended solids.
9 This makes low-cost treatment with membrane-based systems
10 very ineffective.

11 As a result, industrial wastewater is transported
12 offsite for disposal or treated onsite with expensive
13 methods that are complex, energy intensive and generate
14 greenhouse gases.

15 Porifera's recycler is an innovative membrane
16 system that is able to concentrate wastewater and generate
17 pure water for reuse. This technology offers a significant
18 energy savings and emissions reductions with a two- to
19 five-year return on investment.

20 The recycler will demonstrate 20 to 40 percent
21 energy savings over the current practices for high purity
22 reuse of hard-to-treat industrial wastewater at three
23 different sites.

24 With broad application, we estimate the recycler
25 could save more than 53,000 megawatts annually, and recover

1 more than 166,000 acre feet of water for reuse.

2 There are \$646,493 in match funding and the term
3 is 46 months.

4 17.c, Porifera, Incorporated, water energy
5 savings through osmotic concentration of products in the
6 waste, and food and beverage industry.

7 The evaporators and reverse osmosis concentrators
8 currently used in the beverage industry use a lot of
9 energy, making steam to dewater juice, and they do not
10 produce a high-quality product.

11 Porifera's concentrator will demonstrate savings
12 in water and energy, while producing a higher quality juice
13 product. This system uses the unique membrane technology
14 to make high quality juice concentrates and generates
15 purified water for system reuse.

16 The system will replace the facility's current
17 concentrating system during the demonstration period.
18 Depending on its use, there is an estimated potential
19 between 10 and 80 percent electrical energy savings for
20 each concentrator replaced. If 25 percent of California's
21 concentrators were replaced, we estimate a reduction of 1.8
22 million metric tons of carbon dioxide per year.

23 There are three deployment sites for this
24 project. The term is 45 months. And the match funding is
25 \$628,568.

1 Item 17.d, Wexus Energy, water management mobile
2 software for the ag industry. With prolonged drought
3 conditions, California's \$4 billion plus agriculture and
4 food processing industries are looking for ways to reduce
5 their energy and water.

6 These industries use large amount of water and
7 electricity to supply water for crop production,
8 harvesting, and post-harvest food processing.

9 Most farms in California have been upgraded to
10 smart meters and are increasingly deploying devices in the
11 field, such as soil sensors, rain sensors, weather
12 stations, flow and pressure meters.

13 However, most farmers still have a difficult time
14 accessing, collecting and analyzing in-field data and this
15 limits them being able to make informed decisions about
16 their water use in real time.

17 The Wexus solution integrates a cloud-based
18 database back end, with a front end user interface in the
19 form of a web-based application. Wexus will access smart
20 meter and existing on-site customer data and send text or
21 e-mail alerts during use of high energy and water, with
22 recommendations to make reductions.

23 We expect an overall 10 percent reduction of
24 energy and water use at each site. The estimated annual
25 energy savings is 2,422,800 kilowatts, 4,044 acre feet of

1 water, and 687 metric tons of greenhouse gas.

2 There are three deployment sites for this
3 project. The project term is 45 months. And there is a
4 million dollars in match funding.

5 17.e, UC Berkeley, unlocking industrial energy
6 efficiency through optimized energy management systems.

7 Many industrial customers are unaware of low- or
8 no-cost energy conservation methods that are within their
9 facilities. Often, the only electricity data that's
10 available is for the whole facility level and it can't be
11 easily analyzed to find energy efficiency opportunities.

12 Process submetering has been very rare due to its
13 high cost. Commonly used compressed air systems often have
14 leaks, or compressors may be operated inefficiently. Since
15 the amount of loss is not measured, a facility cannot
16 determine whether it's worth investing in energy-saving
17 projects to improve system performance.

18 This project will demonstrate the effectiveness
19 of energy management software that collects and analyzes
20 data from existing and newly-installed sensors in key
21 locations within the manufacturing process. Data will be
22 correlated with the manufacturing process to identify
23 anomalies that can't be explained by changes in production.

24 The software provides manufacturers with data
25 analytics, benchmarking, and recommendations through a user

1 interface.

2 Energy savings based on 100 customers using this
3 software, and 15 percent savings overall in compressor
4 energy use, with an estimated annual electricity savings of
5 24,016,000 kilowatts, and a greenhouse gas reduction of
6 6,800 metric tons.

7 This project will begin with two sites and expand
8 to 100 by the end of the project.

9 The project partners will provide \$1,530,590 in
10 match funding and the project term is 45 months.

11 Item 17.f, Kennedy/Jenks Consultants,
12 Incorporated, raw wastewater filtration to increase organic
13 removal efficiency and achieve significant electrical
14 savings.

15 Municipal wastewater treatment typically involves
16 three steps. The primary, to remove larger settle-able
17 solids. The secondary uses biological process to remove
18 dissolved organic matter. And tertiary, any other
19 treatment beyond that, such as chlorine, ultraviolet, or
20 reverse osmosis that's used before being discharged or
21 recycled.

22 The secondary treatment, alone, accounts for 40
23 to 60 percent of the entire wastewater treatment plant
24 electricity consumption. This project will reduce the
25 secondary treatment organic loading by filtration of the

1 screened raw wastewater entering the wastewater treatment
2 plant. This process uses a completely submerged cloth deck
3 filter for the removal of solids. And based on test
4 results, aeration energy was reduced by 30 to 45 percent.

5 For this project, Kennedy/Jenks will deploy a
6 cloth deck filter to filter raw wastewater for maximal
7 electric savings by promoting carbon diversion to the
8 digesters instead of secondary treatment.

9 Based on the 10 percent market adoption in
10 California, this is estimated to save 34.3 million
11 kilowatts annual and reduce greenhouse gas by 97 metric
12 tons.

13 The match funding is \$1,288,340 and the project
14 term is 45 months.

15 We recommend approval of these grants and staff
16 are available to answer questions, as well as two of our
17 contractors, Ander Paliskaner from Kenney/Jenks, and Chris
18 Terrell from Wexus Technologies, if you have questions
19 about their projects.

20 CHAIR WEISENMILLER: Yeah. I was going to say, I
21 believe you are both on the line. Do either of you want to
22 say a few words?

23 MR. TERRELL: We, at Wexus -- go ahead.

24 CHAIR WEISENMILLER: Go ahead.

25 MR. TERRELL: Yes, hi, this is Chris Terrell.

1 I'm the CEO and co-founder of Wexus. I first just want to
2 say thank you to the Energy Commission for the opportunity
3 under this grant. And we're very excited to deploy our
4 solution at CLR. And the ag industry, as we know, the
5 energy and water usage on the ag side is a hot button this
6 year, right now, and our farms are in need of some
7 solutions. So, we're hoping to bring that forward.

8 I think the summary was very thorough, but happy
9 to answer any questions you might have.

10 CHAIR WEISENMILLER: Thank you. Commissioners,
11 any questions?

12 You know, again, I think we're excited about
13 particularly projects dealing with the water/energy nexus
14 in agricultural this year. That's an area where there's,
15 you know, obviously a lot of pain. So, trying to move
16 forward in this, sort of in some respects foreshadows our
17 wet program coming forward.

18 So, anyway, I think this is a great step forward
19 today.

20 MR. TERRELL: Absolutely. Thank you.

21 CHAIR WEISENMILLER: So, I think at this point
22 we'll go -- it looked like both of the comments were from
23 Wexus, so we'll now go to -- unless anyone else on the line
24 wants to speak?

25 Okay, so let's go --

1 MR. BELEAU: No, my name is Dr. Ed Beleau. I'm
2 with the Wexus group and wanted to echo what Mr. Terrell
3 said relative to the importance of this product,
4 particularly as it relates to the development of staff in
5 the field. Because I think that contributes significantly
6 to sustaining the efforts of the work of Wexus. And so,
7 we're very appreciative of you giving us that opportunity
8 and we look forward to a continuing relationship, and a
9 long time path to success.

10 CHAIR WEISENMILLER: Great, thank you. Thanks
11 for being on the phone.

12 So, let's transition to the Commissioners, any
13 questions or comments?

14 COMMISSIONER MC ALLISTER: Yeah, I just wanted to
15 say that I'm very impressed with this group of projects and
16 want to just congratulate the division staff on this. I
17 really like to see the diversity.

18 I mean, we're talking about compressed air, which
19 is a very important sector of electricity consumption. We
20 have wastewater, we have industrial processes. And I just
21 think that all of these areas, you know, agriculture as
22 well, and all of these areas are really important silvers
23 of energy markets in our economy. And optimizing those has
24 all sorts of benefits, not just on the energy and the
25 resources side, but on our economic development and our

1 innovation economy, and it's just super important.

2 I actually wanted to also comment. I got
3 sidetracked a little bit on an issue with Item 16, while 15
4 was being discussed, and didn't have a chance to make
5 comments there. But I also wanted to just highlight the
6 projects on 15.

7 And, specifically, the smaller grants. And I
8 wanted to just note that these are also a bunch of really
9 great projects in looking at controls, making really small
10 investments in early stage applications around the natural
11 gas. And as we move, figure out pathways to our low carbon
12 future, you know, using natural gas, saving it, using it
13 more efficiently and effectively is huge. And controls and
14 optimizing the natural gas systems is key for a whole bunch
15 of reasons. You know, we've got air quality. And also on
16 the waterfront, you know, we've got methane production
17 there, as well.

18 So, I think, you know, desal, we're seeing on 15
19 and 17, the groups of projects is a topic whose time has
20 come. So, I want to just highlight the small grants
21 program as being a very cost-effective driver of innovation
22 in the State.

23 So, anyway, with that we'll move back to comments
24 on 17. Oh, great, so I'll just go ahead and move Item 17.

25 COMMISSIONER DOUGLAS: Second.

1 CHAIR WEISENMILLER: All those in favor?
2 (Ayes)
3 CHAIR WEISENMILLER: So, Item 17 passes five to
4 zero.
5 Let's -- first, let me add my vote into 15, I
6 also support it, so that should make it five to zero.
7 And then let's go on to Item 16, Lawrence
8 Berkeley National Lab.
9 Dustin Davis, please.
10 MS. VACCARO: Chair, before you move forward, I
11 would ask maybe if you just reopen the vote then on the
12 item where you weren't here, and then do the vote.
13 CHAIR WEISENMILLER: Right. Okay, so I want to
14 reopen Item 15. Can we have a motion?
15 COMMISSIONER HOCHSCHILD: I move approval.
16 COMMISSIONER MC ALLISTER: Second.
17 CHAIR WEISENMILLER: All those in favor?
18 (Ayes)
19 CHAIR WEISENMILLER: So this item now passes five
20 to zero.
21 MS. VACCARO: And then we had asked for Item 16
22 to just be taken out of order, but there is no longer any
23 concern with respect to Item 16.
24 CHAIR WEISENMILLER: Great. So, let's go on to
25 16.

1 MR. DAVIS: Good afternoon, Commissioners. I'm
2 Dustin Davis with the Energy Efficiency Research Office.

3 This project resulted from competitive grant
4 solicitation PON 13301, titled, "Developing a Portfolio of
5 Advanced Efficiency Solutions, Technologies and Approaches
6 for more Affordable and Comfortable Buildings".

7 This grant solicitation sought proposals for
8 applied research and development projects to develop next-
9 generation end-use efficiency technologies and strategies
10 for the building sector.

11 The purpose of this project is to develop and
12 validate savings from a new generation of high-performance
13 integrated window and façade solutions, and develop
14 supporting design and management toolkits so that the
15 building industry, suppliers, designers, contractors and
16 owners can more affordably meet challenging energy policy
17 goals, such as zero net energy buildings, by 2030.

18 This new set of technology solutions and tools
19 will help create an integration platform for new and
20 retrofit buildings that will address not only energy
21 issues, but the critical comfort and business needs of the
22 industry that will drive market acceptance.

23 The project will develop new prototypes and
24 integrated systems in partnership with industry,
25 demonstrate their performance and cost effectiveness using

1 lab simulations and testing, and provide the methods, data
2 and tools to enable adoption throughout California.

3 The project tasks are designed to begin where
4 current codes and practice leave off, and to enhance key
5 performance attributes of facades in California climates,
6 and help drive towards the solutions that will be needed to
7 cost-effectively achieve zero net energy buildings.

8 The project includes development of the following
9 technologies; highly insulating windows, using a novel
10 design for the framing system, and structural thin glass
11 technology for the insulating glass unit, advanced
12 perimeter ventilation systems using wireless sensors and
13 controls within a window framing system, and dynamic
14 daylight redirecting systems based on promising new optical
15 materials and actuators, combined with sensors, and
16 controls, and integrated with dimmable lighting.

17 In combination, the high-performance window and
18 façade technologies proposed in this project will reduce
19 electricity use by reducing HVAC and lighting loads.

20 Assuming a conservative two percent market
21 penetration in California's commercial building stock, the
22 proposed technologies could reduce statewide electricity
23 use by about 112 gigawatt hours and peak demand by 45
24 megawatts per year.

25 These savings translate to about \$16 million in

1 electricity costs and mitigation of over 31,000 metric tons
2 of greenhouse gas emissions annually.

3 With that, I'll conclude and gladly answer any
4 questions, with the assistance of project principal
5 investigators Steven Selkowitz, Eleanor Lee, and Charlie
6 Kerkacha (phonetic), available via WebEx. Thanks.

7 CHAIR WEISENMILLER: Thank you. And so the first
8 question is do any of the LBL folks want to say a few
9 words?

10 MR. SELKOWITZ: Hi, this is Steve. Can you hear
11 me?

12 CHAIR WEISENMILLER: Yes.

13 MR. SELKOWITZ: Well, just to say thanks for the
14 opportunity to participate once again in the program. We
15 were active with what was then the PIER Program for a
16 number of years, did a lot of interesting things that
17 impacted both the manufacturing side, as well as the user
18 and specifier side, so the impact of California is
19 important.

20 And just to remind you that we also play the lead
21 role for windows-related research and daylighting for the
22 U.S. Department of Energy. So, a project like this ends up
23 helping to partner both the national effort and the effort
24 here in the State.

25 But we'd be happy to have any questions here that

1 might come up from the presentation that Dustin did.

2 CHAIR WEISENMILLER: Thank you.

3 Anyone else, Eleanor?

4 MS. LEE: No, I think that sums it up for us.

5 CHAIR WEISENMILLER: Okay, great.

6 So, Commissioners, let's just turn to the dais,
7 any questions or comments?

8 COMMISSIONER MC ALLISTER: Yeah, just a comment.

9 Yeah, I think this idea that we test systems as a whole, as
10 installed in the real world, and then put them put their
11 paces and figure out how to make them work well is just a
12 great innovation and will, I think undoubtedly, help bring
13 industry on board that can look, and feel, and touch the
14 systems in 3D, and come visit and see what's what, look at
15 the data. And I think that can push the market and
16 innovative builders can learn from that and drive the
17 market from above.

18 And then, also, you know, the state-of-the-art
19 kind of approach, with sensors everywhere, is not likely to
20 be what gets built out there in a new construction,
21 typically, but it can produce buildable options. As, you
22 know, the state of the art evolves, it will come down and
23 help define highly efficient, and buildable, and cost-
24 effective solutions that can really go to a large scale.

25 And so, hopefully, you know, that conservative

1 two percent penetration of this system, it will spin off
2 some, maybe slightly watered down systems that will have
3 much broader penetration. And so I'm hopeful that over
4 time that will happen. The commercial space just has so
5 much potential, still, to save energy, and new construction
6 is just the time where you have the chance to build it
7 right and reap long-term benefits. So, I'm very supportive
8 of this project.

9 Shall I go ahead and move? Okay, I'll move Item
10 16.

11 COMMISSIONER DOUGLAS: Second.

12 COMMISSIONER SCOTT: Second.

13 CHAIR WEISENMILLER: All those in favor?

14 (Ayes)

15 CHAIR WEISENMILLER: Item 16 passes five to zero.

16 Let's go on to Item 18, reduced environmental and
17 public health impacts on electricity generation that make
18 the electricity system less vulnerable to climate impacts,
19 phase I.

20 Lillian Mirviss, please.

21 MS. MIRVISS: Good afternoon, Commissioners. My
22 name is Lillian Mirviss and I'm with the Environmental area
23 in the Energy Generation Research Office.

24 Staff requests approval of nine grant agreements
25 recommended for funding under EPIC solicitation PON 14309,

105

1 reduce the environmental and public health impacts of
2 electricity generation and make the electricity system less
3 vulnerable to climate impacts, phase I.

4 Up to \$7.4 million in EPIC funding was available
5 for projects under phase I and phase II will fund over \$9.3
6 million for the second group of environmental-related EPIC
7 projects.

8 This solicitation received 14 applications for
9 applied research and development projects under six
10 distinct research topic areas. Emerging technologies to
11 avoid fatal interactions of birds and bats with energy
12 facilities; renewable energy impacts, learning from real-
13 world experience; improved hydrological forecasting for
14 hydro power generation; water conserving hybrid power plant
15 cooling, phase I; long-term energy scenarios for California
16 and their environmental consequences; and real-world
17 characterization of the urban heat island effect scooping.

18 Out of these 14 proposals, 12 received a passing
19 score and nine projects are finalists recommended for
20 funding, for a total awarded amount of \$6,543,065 and total
21 match funding of \$2,565,724.

22 Today I am requesting approval for eight of these
23 projects and the final will be brought to a future business
24 meeting.

25 The recommended projects are as follows. A,

1 University of California Riverside, along with
2 subcontractors Jet Propulsion Laboratory, at the California
3 Institute of Technology, is proposing to develop a fully
4 coupled aerosol-meteorology snowpack model for the
5 hydrology and hydro power generation forecast in
6 California.

7 This project will use observational datasets,
8 including precipitation, snowpack and stream in-flow
9 observations from Southern California Edison's
10 hydroelectric power plant, the Big Creek Project in the
11 upper San Joaquin River system and the Sierra Nevada of
12 Central California to improve forecasts, specifically
13 focusing on California's hydrology and hydro-powered
14 generation.

15 This fully coupled forecasting model, including
16 aerosol impacts, will provide an advanced forecasting model
17 for the planning and management of hydroelectric generation
18 in California.

19 Jet Propulsion Laboratory will provide over
20 \$249,000 in match funding for this project.

21 B, University of California, Berkeley, along with
22 subcontractor, University of California, Merced, and
23 project partner, California Department of Water Resources,
24 plans to develop improved snowpack forecasts within a
25 representative Sierra Nevada watershed in order to bolster

1 the hydrographic data network that supports hydropower
2 planning and operations.

3 The project is expected to reduce uncertainty and
4 water forecasts in a changing climate, and assist in the
5 development of reliable and flexible operation of
6 hydropower dams.

7 This project will specifically target three power
8 houses, the Rock Creek, Crest and Poe Power Houses, in
9 Plymouth County, California, all of which are operated by
10 PG&E.

11 The project team will provide over \$236,000 in
12 match funding for this effort.

13 C, Maulbetsch Consulting, in Menlo Park,
14 California, along with subcontractor, DiFilippo Consulting,
15 plans to analyze the design, performance and costs of
16 optimized hybrid cooling systems at utility power plant
17 scale to illustrate the potential benefit of hybrid cooling
18 in California.

19 This project will use an existing computational
20 tool with the capability of specifying design parameters
21 for optimized closed cycle, wet, direct dry, and parallel
22 wet/dry cooling systems.

23 The tool's output will be checked against
24 information from participating plants equipped with wet,
25 dry, and hybrid cooling systems, which include PG&E's

1 Gateway Station, in Contra Costa, California, PG&E's Colusa
2 Station in Maxwell, California, and Xcel's Comanche Hybrid
3 Station in Colorado.

4 The tool will enable rigorous, reliable
5 evaluations of hybrid cooling systems and the tradeoffs
6 between economic power production and water resource
7 conservation.

8 D, Energy and Environmental Economics, in San
9 Francisco, California, along with subcontractors, Black &
10 Veatch Corporation, and ECCO International will advance the
11 understanding of key parameters of long-term energy
12 scenarios and greenhouse gas abatement options in the
13 California energy system.

14 This project will further develop scenarios and
15 modeling capabilities of the California electricity sector,
16 as well as interactions between the electricity sector and
17 other sectors. And it will explore the implications of
18 particular policy choices on the electricity system in the
19 medium, 2020 to 2030, and long term, 2050.

20 This project will provide critical insight into
21 some of the key challenges facing the low carbon transition
22 in the electricity system, the options for addressing these
23 challenges, and the dynamic interactions among these
24 options.

25 E, Frontier Wind, in Rocklin, California, along

1 with subcontractors, Bruce Walker, and U.S. Forest's
2 Pacific Southwest Research Station, in Arcata, California,
3 plans to design, lab test, and field test a new bat
4 deterrence system utilizing ultrasound transmitters mounted
5 in array along the rotor blades, providing complete
6 coverage over the entire turbine envelope.

7 A field test study, utilizing substantially
8 similar methods to prior bat impact studies will be
9 implemented post-installation at the test site, in Burney,
10 California, to measure the effectiveness of a new
11 ultrasound system.

12 By placing the system directly on the blades
13 during manufacturing, this research will resolve the long-
14 standing issue of forfeiting a warranty after applying
15 deterrents post-manufacturing.

16 If successful, the deterrent will avoid the need
17 to curtail California wind turbine capacity to mitigate
18 against potential fatal bat interactions and increase
19 installed California wind generation capacity.

20 The project team plans to provide over \$37,000 in
21 match funding for this project.

22 Frontier also received research funds from the
23 Department of Energy.

24 F, Lawrence Berkeley National Laboratory, in
25 Berkeley, California, along with subcontractor, University

1 of California, at Berkeley, will provide detailed modeling
2 of long-term energy scenarios considering climate change
3 impacts, electricity system resilience analysis, and health
4 and environmental co-benefits.

5 This project will use stochastic modeling
6 capabilities of the electricity system, simulating more
7 comprehensive demand response options and more realistic
8 PEV modeling.

9 The project will also include more realistic
10 simulations of the potential for energy efficiency and
11 consider the impacts of climate change on energy resources.

12 This project will provide guidance for future
13 electricity system investment that can meet carbon limits
14 at the lowest cost.

15 In addition, the energy system resilience
16 analysis will help to ensure the electricity system is more
17 robust to future external shocks.

18 University of California, at Berkeley, will
19 provide over \$267,000 in match funding for this project.

20 G, Lawrence Berkeley National Laboratory, in
21 Berkeley, California, along with subcontractors Altostratus
22 and University of Southern California, plans to improve
23 understanding of the distribution of near surface air
24 temperatures within urban heat islands in California,
25 identify and quantify the determinants of local

1 temperatures, and enhance the foundation for location-
2 specific assessments of mitigation strategies.

3 In collaboration with local governments and
4 organizations in the Los Angeles Basin, the research team
5 will design and implement a network of fixed monitoring
6 stations, supplemented with mobile monitoring and data from
7 existing weather station networks.

8 This work will coordinate with CalEPA's
9 development of an urban heat island index effect, as well
10 as CalEnviroScreen, a tool for identifying vulnerable
11 populations.

12 Altostratus plans to provide \$4,000 in match
13 funding for this project.

14 H, lastly, the University of California, at
15 Irvine, along with project partners, Southern California
16 Gas Company and Southern California Edison, will utilize
17 climate change simulations to produce conditions that
18 perturb electricity system generation, renewable capacity
19 potential, and demand for the years of 2030, 2040 and 2050.

20 The combined effect of these impacts then will be
21 simulated on the electricity system using an integrated
22 electric grid modeling platform.

23 This project can help to limit the costs
24 associated with transmission system expansion by providing
25 a more accurate assessment of renewable capacity potential

1 for solar thermal and geothermal resources.

2 In addition, this project can help utilities and
3 State policymakers determine the most cost effective manner
4 for building climate change resilience into the electricity
5 system, limiting increases in ratepayer electricity costs.

6 The project partners plan to provide \$300,000 in
7 match funding for this effort.

8 Each of these projects promises to address
9 research on sensitive species and habitats, for renewable
10 energy planning and deployment, analytical tools and
11 technologies to reduce energy-related stresses on aquatic
12 resources, and improve water energy management, and
13 analytical tools and technologies to plan for and minimize
14 the impacts of climate change on the electricity system.

15 These projects will provide benefits to
16 California Investor-Owned Utility ratepayers consistent
17 with the EPIC guiding principles.

18 Staff recommends approval of each of these
19 proposed projects and we are happy to answer any questions
20 you may have. Thank you.

21 CHAIR WEISENMILLER: Great. Well, thank you.

22 Commissioners, I think, again, as we're getting
23 the EPIC money out that we have another group of exciting
24 projects. Certainly, the one with E3 builds on the
25 modeling that they've done with energy principles over the

1 last year in a way which is, I think, is very -- it's been
2 very beneficial to us and, at the same time, extending into
3 these areas will be very good.

4 And, certainly, we'll get other perspectives from
5 the Berkeley work and the Irvine work. And the Irvine
6 work, as I understand it, will look more at the
7 distribution system.

8 So, anyway, it's a pretty interesting set of
9 stuff here.

10 And I guess we have one speaker on the phone, Mr.
11 Haberlein, please.

12 MR. HABERLEIN: Yes, hello, and good afternoon,
13 Commissioners.

14 My name is Paul Haberlein, from Pattern Energy.
15 I'm the Director of Operations.

16 And Pattern Energy operates over 2.5 gigawatts of
17 wind capacity, including 366 megawatts in the State of
18 California. Like the greater wind industry, we understand
19 the critical need to further mitigate impacts of all power
20 generation, as well as wind turbines on bat species, other
21 wildlife.

22 Now, innovation like this, proposed by Frontier
23 Wind, does have the opportunity, you know, potential to
24 increase generation and reduce the need for costly
25 production.

1 And we've offered up one of our projects in
2 California, the Hatchet Ridge Wind Facility, for validation
3 testing.

4 And thank you for your consideration and I'm
5 happy to answer any questions you may have.

6 CHAIR WEISENMILLER: No, that's really good. I
7 mean, obviously, you've been one of the leaders in the wind
8 industry in trying to deal with the interaction between
9 wind turbines and avian species. Going down to Imperial,
10 we've basically seen one of your machines stop as a bird
11 was going into that vicinity.

12 So, again, it's pretty impressive technology
13 you're doing to try to reduce environmental footprint. So,
14 if this can take it further that would be really good.

15 MR. HABERLEIN: Good. Well, thank you very much,
16 we're happy to help.

17 CHAIR WEISENMILLER: Great.

18 COMMISSIONER HOCHSCHILD: I'd move the item.

19 COMMISSIONER DOUGLAS: I'll second and I also
20 wanted to just agree, particularly on the project that
21 Pattern Energy spoke to, that it's a really important
22 project and technology.

23 COMMISSIONER MC ALLISTER: Yeah, I'm really
24 impressed with this group and this group of projects in
25 asking the right questions and trying to answer them in a

1 rigorous way, and help the system function and still
2 incorporate lots of renewables, and tell us, give us better
3 insight into how things will look going forward. And that
4 will really inform policy across the board at this
5 Commission and elsewhere.

6 And I want to also just thank and acknowledge the
7 Chair for his leadership on these issues. It's really been
8 digging in, and pressing the issues, and inviting smart
9 people to get involved in this, on the R&D front, to help
10 us solve these big problems -- these big issues. They're
11 not necessarily problems. But just give us better
12 knowledge for better decisions. So, I'm very much in
13 agreement with this item.

14 CHAIR WEISENMILLER: Well, thank you.

15 So, I think we have a motion.

16 COMMISSIONER MC ALLISTER: We have a second.

17 CHAIR WEISENMILLER: Seconded. Okay, so all
18 those in favor?

19 (Ayes)

20 CHAIR WEISENMILLER: So, this passes five to
21 zero.

22 Thanks, Lillian.

23 Let's go on to 19, which is natural gas pipeline
24 safety and damage prevention grants.

25 Avtar.

1 MR. BINING: Good afternoon. My name is Avtar
2 Bining. I am with the Research and Development Division of
3 the Energy Commission.

4 This item I am presenting here today is for
5 solicitation number PON-14-503. The purpose of this
6 solicitation was to solicit proposals that demonstrate
7 natural gas pipeline right-of-way monitoring technologies
8 in a setting and develop programs that provide knowledge
9 regarding pipeline safety and integrity management.

10 Based on this solicitation, two grants agreements
11 are being recommended. The first grant agreement listed as
12 Item A, is with Gas Technology Institute for \$1,048,978
13 grant. The purpose of this agreement is to fund the
14 deployment and field demonstration of low-cost sensor
15 system that alerts the gas pipeline operator to the
16 presence of threats in the pipeline right-of-way.

17 The system will variously monitor vibrations and
18 electrical changes on a pipeline and will also monitor the
19 status of the excavation machinery.

20 This agreement will result in increased safety,
21 greater reliability and better pipeline management
22 practices for pipeline operators.

23 The second grant agreement, listed as Item B, is
24 with Acellent Technologies, Inc., of Sunnyvale, California,
25 for \$1,633,093 grant.

1 The purpose of this agreement is to fund the
2 deployment and field testing of the combined active and
3 passive impact damage detection system called Real-time
4 Active Pipeline Integrity Detection System, developed by
5 Acellent.

6 This system will detect the impacts due to
7 encroachments on pipelines and will actively scan any hot
8 spots of degradation monitoring of the pipeline.

9 Acellent is providing \$103,000 as match funds for
10 this project. This agreement will result in lower costs
11 and increased safety.

12 I request your approval of these two agreements.
13 Dr. Cas Cheung, Vice-President of Acellent Technology,
14 Inc., is also here today.

15 I will be happy to answer your questions that you
16 might have for me, and Dr. Cheung will also be, I'm sure,
17 happy to answer any questions that you might have for him,
18 also. Thank you.

19 CHAIR WEISENMILLER: Great, thank you. You know,
20 I was going to note to the Commissioners, just after San
21 Bruno we got into conversations with the PUC about how to
22 really focus some of the gas research in the area of
23 safety. So, this is another step in that direction.
24 Obviously, it's important to really move modern technology
25 into this issue, which I think this does quite nicely.

1 COMMISSIONER HOCHSCHILD: Yeah, the challenge
2 continues, right, there was just another explosion
3 recently, right.

4 CHAIR WEISENMILLER: Yeah, the one in Fresno. I
5 guess there's some questions on why but, you know, it's
6 definitely something where, with the aging system, and once
7 the stuff's in the ground trying to determine exactly where
8 it is, there's been some challenges there. Where it is and
9 what it is, I guess is the best way of putting it.

10 COMMISSIONER MC ALLISTER: Great. I'll move Item
11 19.

12 COMMISSIONER HOCHSCHILD: Second.

13 CHAIR WEISENMILLER: All those in favor?

14 (Ayes)

15 CHAIR WEISENMILLER: This item passes five to
16 zero.

17 Thank you. Thank you for being here, appreciate
18 that.

19 MR. BINING: Thank you very much.

20 CHAIR WEISENMILLER: Let's go on to Item 20, Gas
21 Technology Institute.

22 Rajesh.

23 MR. KAPOOR: Good afternoon, Commissioners. I'm
24 Rajesh Kapoor, from Energy Research Office.

25 Staff is recommending approval of an agreement in

1 the amount of \$950,000. This project is a result of a
2 competitive solicitation. The project is demonstration of
3 an advanced low NOx ribbon burner combustion system for
4 industrial bakeries.

5 The recipient is Gas Technology Institute and
6 demonstration site is Kroger Bakery in Southern California,
7 near Los Angeles.

8 Ribbon burners are widely used in industrial
9 cooking and grind applications. These burners use a long,
10 tin slot, filled with metal strips to create a narrow arrow
11 of short frames. This project will use the ribbon burner
12 design that removes the excess heat in the combustion
13 system and reduces the process temperature.

14 This project will modify the air composition by
15 recirculation of carbon dioxide and other combustion
16 products from an exhaust stream. This approach is expected
17 to improve the NOx emissions without sacrificing chancy
18 reliability, safety, and also being cost effective.

19 There are more than 700 baking facilities
20 nationwide. Gas Technology Institute has demonstrated in
21 the lab that advanced low NOx ribbon burners system reduces
22 NOx production by more than 50 percent.

23 The estimated savings and reductions, with 30
24 percent market penetration in the California baking and
25 heating industry are, natural gas reductions of 1.3 million

1 therms by the year, carbon emission reductions of 7,700
2 tons by the year, and NOx emission reductions of 2,400 tons
3 by the year.

4 For this project, PIER will provide \$950,000
5 natural gas funding and Gas Technology Institute will
6 provide \$235,000 in match funding. The project term is 45
7 months.

8 If you have any questions, I will be happy to
9 answer them. Thank you.

10 CHAIR WEISENMILLER: Thank you.

11 Commissioners, any questions or comments?

12 COMMISSIONER MC ALLISTER: Good stuff.

13 COMMISSIONER SCOTT: I move approval of Item 20.

14 COMMISSIONER MC ALLISTER: I'll second.

15 CHAIR WEISENMILLER: All those in favor?

16 (Ayes)

17 CHAIR WEISENMILLER: This passes five to zero.

18 Thank you.

19 Let's go on to the Minutes. Possible approval of
20 April 8th, 2015 Minutes.

21 COMMISSIONER MC ALLISTER: I'll move the Minutes.

22 COMMISSIONER SCOTT: Second.

23 CHAIR WEISENMILLER: All those in favor?

24 (Ayes)

25 CHAIR WEISENMILLER: So, again, five to zero.

1 So, let's do Lead Commissioner and Presiding
2 Member reports. Commissioner Scott.

3 COMMISSIONER SCOTT: Great. Well, I will provide
4 just a couple highlights of some of the things that I've
5 been up to. Just last week, the Governor's Office had
6 their Zero Emission Vehicle Summit. That was fantastic. I
7 had an opportunity to help facilitate one of the panels and
8 then give some closing remarks.

9 It was great because we had a chance to see the
10 progress that's been made since the Original Action Plan
11 came out, since we had the ZEV Summit last year and then
12 the ZEV Summit this year.

13 There's a new Action Plan in place and they're
14 looking for comments from folks on that new Action Plan to
15 kind of get us from 2015 over to the next few years.

16 There was a lot of energy, a lot of positive -- a
17 lot of positive energy and a lot of really good momentum in
18 the room, and I think people felt pretty inspired by how
19 much we have accomplished so far, and kind of ready to roll
20 up their sleeves and keep on working in that space. And
21 so, it was a good summit. That was last Monday.

22 Following on that, on Thursday, there was the
23 National Fuel Cell Symposium. And fuel cells are also zero
24 emission. And that was a chance, really, to talk about --
25 mostly we talked about stationary fuel cells, but we did a

1 little bit of conversation on mobile fuel cells, as well,
2 and the different types of fuel that you can use in them.
3 And that was also a really great chance to bring together
4 all of the folks kind of on the stationary side, who are
5 also working on these zero emission solutions.

6 And I got to give closing remarks at that, too,
7 which was also very fun.

8 Let's see, I had a chance to tour the PG&E Gas
9 Operation Center. This was really neat. I mean, the
10 technology that they have there is very innovative. It
11 looks a lot like the CAISO room. If you look at kind of
12 their control room that's what they have for natural gas.
13 That's different than other folks, other gas providers have
14 in this space to be able to monitor what's going on. And I
15 thank Valerie for helping to set that up.

16 So, that was just really interesting. If you all
17 haven't had a chance to see it, I would highly recommend
18 that you do get to go see it.

19 And they had a map there, Commissioner Douglas,
20 that kind of reminded me of the DRECP mapping efforts that
21 we have. I mean, it has a lot of real-time information, of
22 course, but all looking at the natural gas pipeline and
23 different things that have the ability to impact the
24 natural gas pipeline. And it includes where all of the
25 drivers, and repairmen, and other folks, maintenance folks

1 are. And so, it's almost like Uber in terms of, uh-oh, if
2 there's an issue here, this is the person who's closest.
3 And they've been able to really decrease the amount of time
4 that it takes to respond to natural gas situations.

5 And so, it was just a really neat tour to go and
6 see.

7 I will highlight, also, that we -- two things on
8 working with the DOD, and maybe I'll let the Chair and also
9 Commissioner Hochschild weigh in here.

10 We had a chance, last week, to go visit 29 Palms,
11 which was a really interesting base. It is the world's
12 largest live fire training base in the world. And so,
13 there was all kinds of things going on there.

14 But they're also working on energy efficiency,
15 putting in place photovoltaics. And they actually have a
16 lot of spaces where they could put some photovoltaics, but
17 there's no need for that extra power right now. And so
18 they have, they've kind of built it out so that you can add
19 PV to it, when there's a need for it. So, they're being
20 really proactive in terms of that. That was really neat to
21 see.

22 The other thing that they have, that I thought
23 was great, was this recycling program for -- after they've
24 used all of the live fire ammunition, they go -- they pick
25 it up and they bring it back, and they recycle all of it.

1 And so, you should see these recycle bins. I mean, they
2 were kind of crazy, the stuff that was put inside of those.

3 COMMISSIONER MC ALLISTER: They can't just put it
4 in the city, in the city collection?

5 COMMISSIONER SCOTT: Right?

6 (Laughter)

7 COMMISSIONER SCOTT: And what was really neat is
8 they make a couple of million dollars off of this because,
9 you know, it's brass and other types of metals. And then
10 they put that money back to the base.

11 And so, a few years ago, the folks who live at
12 the base decided they really wanted to upgrade the play
13 facilities for the children that go there. And so, now
14 they have kind of a fun water park that they can -- not
15 like a great, big waterpark, you know, but kind of a small
16 park, a park that has water features in it. But it's
17 brand-new. And so, they're able to take that money from
18 the recycling and then put it back into the base. And I
19 thought that was really neat.

20 And I don't know if you want to add anything from
21 our visit?

22 Yeah, they were really great. They spent a lot
23 of time talking to us about the different things that
24 they're working on, so I appreciate the time they spent.

25 And then we had our Department of Navy Energy

1 Commission meeting in San Diego, not so long ago. And
2 that's also just really exciting. The military is great
3 partners with us on all kinds of things, from that CO2
4 washing machine that we just talked about, to trying to
5 figure out some things we can do in transportation, in our
6 fleets, micro grids, all of that. And so we had, I
7 thought, another really good meeting with Department of
8 Navy a few weeks ago.

9 So, those are a few highlights for me.

10 COMMISSIONER MC ALLISTER: Great. Let's see, I
11 wanted to just make a few points and talk about, a little
12 bit, about what's going on in my realms. Mostly, or a lot
13 of what I've been doing is, you know, shepherding the IEPR
14 along.

15 And part of the exciting aspect of that, for me,
16 is really combining efforts with some of the critical
17 efficiency issues, and leveraging the IEPR to kind of give
18 it a little more gravitas, and a little more dissemination
19 of the conversation, participation from the stakeholders,
20 and et cetera.

21 So, on the 14th of April we had a great workshop
22 about data. There's a lot of issues in the IEPR, or in the
23 AB 758 Action Plan about data, we hear from stakeholders
24 on many, many fronts that, you know, they want -- they
25 would like us, and our sister agencies, to find ways to

1 inform the marketplace better so it can engage in the most
2 productive ways.

3 So, we're looking at a lot of fronts to see how
4 we can push on that issue.

5 On the 7th of this month we had an all-day
6 workshop that was really a benchmarking and disclosure, so
7 that's a key policy for the existing buildings.

8 And in the afternoon, on the Local Government
9 Challenge, which is a program the 758 Action Plan is
10 proposing to develop, really more broadly than that,
11 leveraging local government authority over the existing
12 building stock is a really key strategy for improving its
13 performance. And I think local governments are incredibly
14 diverse and varied. And we hear from many of them, and
15 they're doing wonderful things that we want to support and
16 find ways to leverage, and sort of develop as best
17 practices, and permit, or allow other jurisdictions to use
18 them.

19 So, those were very productive discussions.
20 We're building a record on some of these issues and we're
21 going to try to really get some programmatic, you know,
22 steel in the ground, as it were, to develop some
23 programmatic infrastructure to help push those issues
24 forward and help get them some resources.

25 Upcoming workshops in the IEPR on zero net energy

1 next week. Also, the natural gas outlook, obviously a key
2 one. Every IEPR, but at least as much this one as any.
3 Likely -- well, I would say more so, really.

4 And, let's see, the traditional forecasting of
5 natural gas obviously part of that, but the forecasting is,
6 obviously, really critical and we're trying to develop that
7 technology further, as the Chair's familiar with. It's a
8 long road, but I think we're traveling well down it.

9 And then, finally, we had a renewables workshop
10 in the IEPR that was, I think, really interesting. It had
11 a lot of great discussion in it. And it was Commissioner
12 Hochschild and I sort of were the sponsors of it, if you
13 were. But I think all -- I don't think you were there,
14 Commissioner Scott. But, yeah, that's okay, there was no
15 expectation.

16 But we got good participation. Yeah, no guilt
17 necessary. But I think it was just a very productive
18 discussion, a lot of good, very diverse viewpoints and some
19 consensus about some of the key issues, I think, going
20 forward. And an appreciation of some of the challenges we
21 confront, but I think a sense that they're all quite
22 solvable with the right policies and the right
23 coordination.

24 And we also had a representative from the PUC on
25 the dais, and then from the ISO. And I think up and down

1 the kind of chain of supply and use there's, you know, down
2 to behind-the-meter stuff there's just a lot of engagement
3 on the issue.

4 And as we look at how to implement the Governor's
5 first goal on 50 percent renewables, there's just a lot of
6 good ideas and I think a sense that it's very doable, and
7 we're going to move forward to make it happen.

8 Let's see, just a couple other things. Title 20
9 rulemaking. You know, we voted on a couple of things, one
10 thing today, and there are several of those sort of
11 marching forward in the middle of the computer, monitors
12 and displays ones. And I want to just highlight that one.

13 We had a workshop on 4/15 to roll out the staff
14 report and get some comments on that, preliminarily. And
15 there has been already and there will continue to be a lot
16 of substantive interaction with stakeholders, and this is
17 kind of my strong interest to make sure that we give
18 industry and stakeholders every opportunity to weight in so
19 that we develop the most robust record possible, and that
20 we can inform staff recommendations and Commissioner
21 decisions about what the best path forward is, taking the
22 market developments into account.

23 And I think, and also just to get to the end
24 point and have it be relatively unassailable in terms of
25 having done our due diligence and having a very well-

1 supported decision. So, I think computer monitors and
2 displays certainly fits in that category. It's an
3 important sector of our State.

4 And then, let's see, on April 16th I spoke at the
5 2030 and Beyond Conference that the State Bar Environmental
6 Section had. That was quite interesting. You know,
7 lawyers always have unique perspectives that are very
8 detailed and questions very detailed about what's going on
9 in the policy world. It's very relevant for their
10 businesses and their just day-to-day work for their
11 clients. And so, that was a very good discussion. The
12 Governor's Office was there a number of our other well-
13 known stakeholders I think were there, as well, so it was
14 quite substantive.

15 Let's see, then on the 22nd, actually
16 Commissioner Hochschild and I went down to Southern
17 California to ribbon-cut a Meritage new homes project. And
18 I thought that was super interesting. Zero net energy
19 homes, lots of cutting edge technology incorporated in
20 them. And, you know, I think -- well, one of the things
21 that they're doing there is looking at interoperability
22 with the grid so the homes roll as a consumer and supplier
23 of energy from and to the grid.

24 And Edison and EPRI are working on the smart grid
25 aspects of that and they are locating storage at different

1 places in the distribution grid, either at the home or sort
2 of at a group of homes at the transformer to see how they
3 can dispatch, and use, and load, and unload, and sort of
4 use the battery to improve service quality and perhaps, you
5 know, offset investment down the road and help the
6 distribution system.

7 So, we're very much looking forward to keeping in
8 touch with EPRI and Edison on that project as it goes
9 forward. A lot of good learning potential there.

10 Finally, on the 28th and 29th I was in Austin,
11 Texas, at the StEAB, the State Energy Advisory Board
12 meeting. That's the Department of Energy has a board that
13 advises them on issues, really over the energy efficiency
14 and renewable energy activities, EERE.

15 So, Secretary -- or Assistant Secretary Danielson
16 is very engaged with that, it's great to see, actually
17 listening to the advice and engaging with the StEAB to ask
18 difficult questions and get folks' opinions of them. So,
19 that's a really good opportunity for us to put in the
20 California perspective on that.

21 It was also very interesting to get around Austin
22 and understand ERCOT a little bit more. It's sort of like
23 a parallel universe a little bit to California, a very
24 different -- different regulatory regime. Obviously,
25 different politics. Although Austin, I think, is a little

1 dot of blue in a sea of red, and folks there are very
2 conscious of that fact. Austin is doing a lot of really
3 innovative things at the city level and they have a
4 municipal utility that is quite innovative. So, on the
5 energy efficiency front they're doing a lot.

6 And they really need to do a lot there because
7 you would not believe the consumption levels that they have
8 there. And the AC is just such a bigger deal there than it
9 is here, and they have the humidity to deal with, too. So,
10 the average consumptions are like threefold what they are
11 in California, if not more. You know, definitely in the
12 summer. But, certainly, that is a huge incentive for them
13 to build more efficient buildings and get the systems right
14 so they don't get funky condensation and all that. And so,
15 they're just doing a lot of innovative things to grasp
16 that, and starting to build some quite beautiful, and well-
17 made, well-designed homes and commercial properties.

18 So, yeah, anyway, I guess that's all I had for
19 the moment. Yeah, thanks.

20 CHAIR WEISENMILLER: Yeah, a couple of things.
21 Just following up, first, on Janea's, on the PG&E dispatch
22 center. The ISO control, now, is probably about four years
23 old. And those of us, you know, who have computers and
24 stuff, the question becomes what is the next generation
25 there? I'm sure they have people thinking about that.

1 But I found the PG&E center to be interesting. I
2 mean, normally, gas lies about a decade behind electricity
3 in these types of things. It's obviously much less
4 demanding, things move a couple hundred miles an hour, not
5 the speed of light. So, you know, there's just a lot more
6 storage, too, in the pipelines than the power system.

7 But to the extent they have a very complicated
8 censure system, trying to get into that, and then get
9 algorithms that can basically start responding to things on
10 a much faster scale than humans can.

11 And so, presumably, I mean thinking about where
12 ultimately the ISO will need to go, where we need to go on
13 the distribution system, again you need to have much
14 more -- a lot more sensors, a lot more sophisticated
15 software, but the ability to respond to stuff, you know,
16 well below the timing you would expect a human operator to
17 deal with.

18 So, I thought the PG&E system was interesting, at
19 least a step in that direction.

20 In terms of comments on stuff, so I testified
21 yesterday before a joint water hearing, Senate Resources,
22 you know, Fern Pavley -- and it was myself -- actually, I
23 should say Felicia Marcus testified, Mark Cohen. And, you
24 know, Fish and Wildlife, and I was there, too, testifying
25 somewhat. But, you know, they obviously -- it was a

1 couple-hour session. There was a lot of interest on stuff.
2 I mean, I sort of presented what we're doing under the
3 Governor's Executive Order and, you know, people were very
4 happy with that. Obviously, a lot of questions back and
5 forth on -- I'm afraid we're sort of at the stage, now, of
6 as people look at the severity of the cutbacks, and whether
7 or not this is the new normal, a lot of the, well, wait a
8 minute, you know, is the problem ag? Is the problem urban?
9 Or if it is my urban area is conserving quite a bit, you
10 know, why is Monterey using this amount compared to other
11 areas, and so with the cutbacks.

12 And so, I thought Felicia did a very good job
13 discussing that, a lot of discussion on storage. Where's
14 the storage? Or, you know, we've been there in the ARRA
15 context. Where's the money that we allocated to you? Can
16 you point out how it's being spent, now? Not, obviously,
17 we're sort of late in the water context, in that sense.

18 But I was happy to point out that we did -- the
19 four things, we did adopt the Appliance Standards. I noted
20 today we were going to do the siting contingency side. And
21 then we have the rebate program and the WECC program. We
22 do have pages up on the website on both of those, which
23 actually now are in English and Spanish. We're going to
24 add additional language as we go forward.

25 So, anyway, people were pretty happy with our

1 progress to date on that. But again, it's going to be a
2 sprint. You know, obviously, the details of this will be
3 worked out through the May revise process, in combination
4 with the Legislature. And about as soon as we get it done,
5 you know, we almost need to start getting money out the day
6 it's passed. So, we're going to have some workshops to
7 help frame things.

8 But anyway, it's also pretty clear the more you
9 get into the water situation, the more dreary it is. You
10 know, so basically, I think these are important ways to
11 really help mitigate some of those impacts.

12 I think, following up on what Commissioner Scott
13 said on the Marine and Navy, every six months we get
14 together, you know, with the Assistant Secretary of the
15 Navy, Denny McGinn. And really, at this point, it's more
16 or less a normalized relationship. You know, this is like
17 our third one and we have sort of monthly calls on stuff
18 so, again, it's very much -- a very good working
19 relationship that's fairly mature and just, you know, sort
20 of marching along and trying to click off things that are
21 on our objectives.

22 COMMISSIONER HOCHSCHILD: Yeah, on that point,
23 they joked with me after our visit that there was a -- they
24 would have had armed Marines trying to stop Energy
25 Commission staff from getting onto bases, and now

1 they're -- in many cases they've gone beyond where we're
2 at. So, they've just instituted the one-gallon-a-minute
3 faucet standard for the barracks, and so forth. So,
4 they're actually moving very quickly as both of us, I
5 think, were very impressed.

6 CHAIR WEISENMILLER: Oh, no, we've actually done
7 some media -- the Governor's Office has done media vets
8 highlighting how well the military has really cut back on
9 their water usage on the bases in California. They're a
10 very good partner on that. Certainly, they could be a key
11 part of some of our fire response.

12 So, again, it's a very good relationship and a
13 real way to showcase and move some of our technologies out
14 into the real world.

15 I was going to, also, Andrew and I had a
16 memorable workshop on nuclear as part of the IEPR.

17 COMMISSIONER MC ALLISTER: Not memorable enough
18 for me to bring it up in my comments, I guess, but it was
19 quite good.

20 CHAIR WEISENMILLER: It was good of you to defer
21 to me.

22 COMMISSIONER MC ALLISTER: Yes, exactly.

23 CHAIR WEISENMILLER: But anyway, there was a lot
24 of questions or concern on seismic issues at Diablo,
25 obviously. Then there was, you know, none of -- I keep

1 saying none of these plants were really designed as high-
2 level waste disposal sites. And we've been consistently
3 saying get the stuff out of the spent fuel into the casts,
4 the spent fuel ponds are not in the containment vessels,
5 and there's a lot of nasty stuff there.

6 So, at least in the cast it's safer. There's
7 certainly a strong public sentiment around San Onofre to
8 move it elsewhere. You know, they suggested a military
9 base, which puzzled me, since I'd just been at Pendleton.
10 You know, I always thought that was a military base. But
11 anyway, but somewhere, presuming, much more distant. And,
12 you know, actually encouraging us to try to find a site in
13 California, which strikes me as -- having seen the failure
14 of the Federal efforts, albeit for permanent, long-term
15 storage, and also the failure of the State effort a number
16 of years ago to find a low-level waste site in California,
17 it's sort of a really daunting, if not impossible
18 challenge, to find an interim high-level site in
19 California. But, certainly, people are trying to volunteer
20 us for that.

21 And the last thing, you know, I think everyone's
22 aware that one of the really exciting announcements in the
23 last month was, you know, I've been working on the Energy
24 Imbalance Market Transitional Committee and there's been a
25 lot of progress on that front. You know, I mean a huge --

1 we were up there. At this point, Arizona has -- APS is
2 looking at joining the energy imbalance market. You know,
3 and at the same time probably the biggest step forward was
4 basically PacifiCorp announcing it wanted to become a full
5 participant in the ISO. And that's sort of revolutionary.
6 It's certainly faster, much faster than I thought, and much
7 more complicated than I thought in terms of it's multi-
8 state.

9 But it really -- you know, the imbalance market
10 really deals with the last 10 or 15 minutes. And so, if
11 you have more wind, or more solar, or more or less than you
12 expect, you're trading that imbalance, so relatively small.

13 But full participation means that when the day
14 before, when you're deciding what power plants to commit or
15 turn on, you would do that again more on a regional basis.

16 And so, where we're looking to really have a
17 regional impact on greenhouse gas emissions, this is key.
18 You know, again, it's sort of when you look at a lot of the
19 modeling people just sort of assume that the whole west is
20 sort of one dispatch -- you know, commitment and dispatch.
21 And, you know, sort of on the one hand you're looking at it
22 and we're struggling to get energy imbalance markets. But
23 this is a first step towards really getting that regional
24 dispatch, which is just huge in terms of greenhouse gas,
25 and cost savings.

1 And, frankly, looking at some of our over-gen
2 issues, it becomes a place to put it fast. You know, it's
3 not one of those, you know, if you think about it maybe
4 someday we could get power to gas in its place. Or, you
5 know, I keep looking at sort of the statistics that if we
6 have 600,000 electric vehicles, that's about 1,000
7 megawatts. You know, so how fast are we getting electric
8 vehicles? You know, or desal. I mean, we had coming out
9 of Poseidon here.

10 But I mean, basically, it would take 30 Poseidon
11 level, Carlsbad level desal plants in California to get to
12 1,000 megawatts, which is, again, well behind the sphere of
13 what's possible.

14 COMMISSIONER MC ALLISTER: Yeah, I wanted to
15 comment on that.

16 CHAIR WEISENMILLER: Yeah.

17 COMMISSIONER MC ALLISTER: The west wide.
18 Because, you know, California has a fair amount of latitude
19 variation, but not a lot of longitude variation and that,
20 getting both directions, you know, when we're relying more
21 and more on natural resources which is, you know, renewable
22 energy that we need to take advantage of and we need that
23 diversity. I think that's a really huge step in terms of
24 the ISO expansion, potential ISO expansion and kind of
25 getting that additional level of diversity.

1 And then driving, also, some transmission
2 investments that are needed to leverage it.

3 CHAIR WEISENMILLER: Yeah. No, it's sort of --
4 in looking at solar, again, as you look across the west in
5 terms of when the sun's rising and setting, or when loads
6 are coming up and down, having that east/west gives us a
7 lot more diversity than north/south.

8 And at the same time, if you look at the wind
9 characteristics, a lot of ours are the coastal passes. But
10 as you connect, you know, throughout more of the west, or
11 Baja, you know, you're getting a much different wind
12 profile which, again, gives us a lot of benefit.

13 So, as I said, it's a real -- I would have to say
14 one of the bigger game changes of the year. A lot to do.
15 I mean, it's sort of definitely watching the ISO's steps,
16 I'll say sprint to keep up with all of this, in terms of
17 the technical and regulatory challenges.

18 COMMISSIONER DOUGLAS: So, I just have one or two
19 brief reports. I had the opportunity to speak at a Public
20 Advisory Committee meeting for the Commission for
21 Environmental Cooperation, the other CEC. It's an
22 organization that's tri-national between the U.S., Mexico
23 and Canada, set up under the North American Free Trade
24 Agreement. And they met in Monterey, Mexico, and invited
25 me to speak about California's renewable energy efforts and

1 achievements. And so, I was pleased to do that.

2 And also, of course, highlighted our MOU with
3 Mexico and our relationships with a number of the Mexican
4 agencies working with us on energy climate, and other
5 issues. So, that was a really nice opportunity to make
6 some of those connections and provide some information
7 about California's renewable energy policies, goals and
8 achievements in that forum.

9 I should also say that this May Is Bike Month.
10 We are almost halfway through May Is Bike Month. The
11 Energy Commission has a team. If you work at the
12 Commission and have not yet signed up for the team, those
13 of us who ride electric bikes, our miles count, too. So,
14 we should just all keep track, log our miles, and help the
15 Capitol Region get to its biking goal of, I think, 2
16 million miles.

17 COMMISSIONER MC ALLISTER: So, there is -- again,
18 you know, there is no discount to those miles?

19 COMMISSIONER DOUGLAS: There is no discount. So,
20 if you want to borrow my bike, Andrew, you're welcome.

21 (Laughter)

22 COMMISSIONER HOCHSCHILD: Well, you know, if
23 Scarlett Johansson was helping sell the electric
24 motorcycles, Commissioner Douglas is helping sell the
25 electric bikes because she's the reason I got one.

1 Just a few updates. One, I just wanted to thank
2 Rob and Mark Hutchison for -- we put the sign on the front
3 of the building, dedicated the Warren-Alquist State Energy
4 Building. And we will be doing a public dedication
5 ceremony, open to the public and students, at a date soon
6 to be arrived at. That's sort of the final dedication,
7 facility dedication. This room and, obviously, the other
8 hearing room were already dedicated as part of our 40th.
9 So, stay tuned for more on that.

10 A few interesting visits. Rob and I went to
11 Google last week. I gave a talk there to the energy team.
12 They have about 50 people working on energy. And,
13 actually, they're doing quite a lot on electric vehicles.
14 They have 30,000 employees, 1,500 electric chargers. And
15 they basically have a system where you drive in, you plug
16 your car in, and then you dial in the hour by which you
17 plan to leave, four o'clock, five o'clock, whatever the
18 time may be. And then, they have a very sophisticated
19 algorithm of when and how the vehicle gets charged. You
20 just care that it's fully charged by the time you leave.

21 But they can, you know, use a combination of
22 pressing and they're own renewable generation to meet that
23 need. And they're aiming to scale this. So, I think it's
24 exciting to see.

25 Also, had a very productive meeting with

1 Commissioner McAllister down in San Diego. Actually,
2 sorry, were you at the -- we went to the Meritage one. I'm
3 talking about the PACE one, I don't think you were at.

4 We met with Renovate America, which is the
5 largest PACE provider in the United States, and just huge,
6 huge growth happening now. So, that's \$600 million in PACE
7 finance projects in California, of which they've done, you
8 know, more than 90 percent of that. And 30,000 homes have
9 been done, only 11 defaults.

10 And they are basically doubling in size, so
11 incredible growth. And now, 75 percent of the State either
12 has a PACE program or is actively developing one.

13 So, I'm very bullish about the future of that
14 policy which, you know, the Governor's support made a
15 critical difference there in having this loan loss reserve
16 program.

17 And so, I think there's a very bright future for
18 that and that will obviously help with the very bold goal
19 of doubling energy efficiency on existing buildings.

20 And then, finally, another site visit I found
21 very instructive, we met with a builder -- I've been
22 meeting with a lot of the State's builders. So, there's a
23 builder in Los Angeles, called City Ventures, which is the
24 largest builder in the country doing all-electric homes.
25 So, they've sold about 700 electric homes just in the last

1 two years.

2 And there's basically four appliances that use
3 gas in your house today, your furnace, your hot water
4 heater, your dryer, and your oven/stove. And the electric
5 alternative for all four of those is excellent now. As you
6 might imagine, the number one customer concern is around
7 the stove. And so what they do is they bring in a chef to
8 cook an amazing meal on this electric induction ovens, and
9 these things have been selling like hotcakes.

10 The avoided cost for a new home when you don't
11 have to run the gas line is \$4,500. So, that's the cost to
12 run the gas to the home and then pipe inside the home.

13 And so, they're business is taking off like a
14 rocket and somebody you should really watch closely. And I
15 think that was it.

16 Well, the one finally -- yeah, actually, when I
17 was in L.A. we met -- there was trip to visit Australia
18 last year, which I got invited on, but I could not join, to
19 look at sort of renewable in the drought, and some of the
20 issues they've have.

21 So, Australia has a climate, actually, that's
22 fairly similar to California's population. Thought, it
23 turns out the water use per customer is almost identical,
24 had been almost identical. Then they had a 12-year
25 drought, the millennium drought. And their response was

1 very instructive. They reduced water use from 90 gallons
2 per person per day to 30, and did a number of things which
3 I think over time we will be looking at. Among them are
4 rainwater collection systems.

5 So, they went from having, basically, no rooftop
6 rainwater collection systems to, today, 40 percent of the
7 homes in Australia have that. And they had that -- they
8 have those cisterns and they were heavily subsidized. They
9 sort of did a California Solar Initiative for rainwater
10 collection. And a lot of desal, a lot of desalination
11 plants got built. So, instructive to learn from other
12 countries. That was my first time hearing more about that.

13 And I think that's it for me.

14 CHAIR WEISENMILLER: Okay. Well, first, I wanted
15 to thank our Public Adviser Intern for his service today.

16 Let's go to Chief Counsel's report.

17 MS. VACCARO: Nothing to report.

18 CHAIR WEISENMILLER: Executive Director Report?

19 MR. OGLESBY: Just a brief update on an item that
20 you asked me to keep you apprised of, as a result of the
21 February 25th Business Meeting, where we had a petition,
22 and several public commenters who had issues with the 2013
23 Building Standards.

24 And the Commission directed staff to basically
25 convene a workshop. And I'll give you an update on that.

145

1 The workshop was held and we also opened a docket to
2 receive written comments. It was held on April 10th. We
3 had 147 stakeholders who participated, about 30 in person,
4 and about 117 that participated via WebEx.

5 Where we are right now is staff is digesting the
6 comments that were received at -- both in writing, through
7 the docket, and at that. And I'll be giving you a further
8 update, likely in writing, in the near future.

9 COMMISSIONER MC ALLISTER: Thanks for that, Rob.
10 I appreciate staff and you moving forward with that.

11 CHAIR WEISENMILLER: Yeah, thanks.

12 Public Adviser Report?

13 MR. PITTARD: We have nothing to report, thank
14 you.

15 CHAIR WEISENMILLER: Public comment? Please?

16 MR. JACKSON: Hi, I'll make this brief. My
17 name's Ade Jackson. I'm a member of Phi Beta Sigma
18 Fraternity, Incorporated. I'm the Vice-President of the
19 Lambda Kappa Chapter, and I'm the new Intern for the
20 California State Energy Commission, in the Public Adviser's
21 Office. I just wanted to make sure that I just thanked
22 everybody, I was really in attendance, for giving me the
23 opportunity to see the work that you guys do, both for
24 California, as well as, you know, under-privileged
25 communities. And I know you guys are removed from the

1 public eye, but that doesn't make your work not important.
2 And it's inspiring to a young person, like me, and an
3 undergraduate, being able to see the power of knowledge and
4 people that really care about their community, about their
5 state, about the issues that they're involved in because
6 that's not the narrative that's often played up in the
7 media.

8 So, I just wanted to thank you guys for the
9 opportunity and I look forward to working here in the
10 future. Thank you.

11 CHAIR WEISENMILLER: Thank you. Thanks again for
12 your public service today.

13 Okay, so the meeting's adjourned.

14 (Whereupon, at 1:10 p.m., the business
15 meeting was adjourned.)

16 --o0o--

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of May, 2015.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of May, 2015.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520