

DOCKETED

Docket Number:	15-IEPR-03
Project Title:	Electricity and Natural Gas Demand Forecast
TN #:	204977
Document Title:	Transcript of 5/21/15 IEPR Commissioner Workshop on Preliminary Natural Gas Outlook
Description:	N/A
Filer:	Patty Paul
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/11/2015 11:47:31 AM
Docketed Date:	6/10/2015

CALIFORNIA ENERGY COMMISSION

STAFF WORKSHOP

In the Matter of:)	Docket No. 15-IEPR-03
)	
2015 Integrated Energy Policy)	
Report (2015 IEPR))	RE: IEPR Commissioner
Standards)	Workshop on Preliminary
)	Natural Gas Outlook
)	

CALIFORNIA ENERGY COMMISSION

1516 NINTH STREET

ART ROSENFELD HEARING ROOM

SACRAMENTO, CALIFORNIA

THURSDAY, May 21, 2015

1:00 P.M.

Reported By: Peter Petty

APPEARANCES

Commissioners Present

Andrew McAllister, IEPR Lead Commissioner

Robert Weisenmiller, Chair CEC

Janea Scott, CEC Commissioner

Staff Present

Heather Raitt, IEPR Program Manager

Leon Brathwaite, Supply Analysis Office

Chris Kavalec, Energy Assessments Division

Peter Puglia, Supply Analysis Office

Anthony Dixon, Supply Analysis Office

Ivan Rhyne, Manager, Supply Analysis Office

I N D E X

	<u>Page</u>
Introduction	
Heather Raitt, IEPR Program Manager	4
Opening Comments	5
Andrew McAllister, IEPR Lead Commissioner	
Robert Weisenmiller, Chairman CEC	
Janea Scott, CEC Commissioner	
Preliminary Results Natural Gas Common Cases	9
Leon D. Brathwaite, Supply Analysis Office	
End-User Natural Gas Forecast for California	28
Chris Kavalec, Energy Assessments Division	
Natural Gas Burner Tip Price Model	39
Peter Puglia, Supply Analysis Office	
Natural Gas Price Forecast Retrospective	50
Anthony Dixon, Supply Analysis Office	
Public Comment	59
Adjournment	61
Court Reporter's Certification	62
Transcriber's Certification	63

1 P R O C E E D I N G S

2 MAY 21, 2015

1:04 P.M.

3 MS. RAITT: Good afternoon. Welcome to today's
4 IEPR Commissioner Workshop on the Preliminary Natural Gas
5 Outlook. I'm Heather Raitt, the Program Manager for the
6 IEPR.

7 I will briefly go over the housekeeping items.
8 The restrooms are in the atrium. A snack room is on the
9 second floor. If there's an emergency and we need to
10 evacuate the building, please follow the staff to Roosevelt
11 Park, which is across the street diagonal to the building.

12 Today's workshop is being broadcast through our
13 WebEx Conferencing System and parties should be aware that
14 you're being recorded. We'll post an audio recording on
15 the Energy Commission's website in a few days and a
16 transcript in about a month.

17 At the end of the day today there'll be an
18 opportunity for public comments and we're asking parties to
19 limit comments to three minutes. We'll first take comments
20 first from those in the room followed by our WebEx
21 participants.

22 For the WebEx participants, you can use our chat
23 function to tell our WebEx Coordinator that you'd like to
24 make a comment during the public comment period. And we'll
25 either relay your comment or open your line at the

1 appropriate time.

2 For phone-in only participants we'll open your
3 lines after we hear from the WebEx participants.

4 If you haven't already, please sign in at the
5 entrance to the hearing room. Materials for the meeting
6 are available there. Comments on today's workshop are due
7 June 4th and the notice explains the process for submitting
8 comments.

9 And with that I'll turn it over to Commissioner
10 McAllister.

11 COMMISSIONER MCALLISTER: Thank you, Heather.

12 So welcome everyone. As I think we can see by
13 the size of the audience with us, this is a highly
14 specialized topic. But that in no way means that it is not
15 interesting. In fact, probably the opposite and I want to
16 just iterate here that this -- we have some of the foremost
17 experts in the country on natural gas and they help us
18 develop our natural gas forecast.

19 And I always enjoy hearing Leon and Chris and the
20 crew walk us through the issues, because they clearly have
21 such a depth of knowledge. And it's very helpful to get
22 that orientation and that update each time.

23 And also just to make sure that we're doing this
24 in a way that provides access to the public. And I think
25 that Ivan's team and the Commission broadly does that

1 really, really well and I want to commend all of you on
2 that.

3 Interesting time for natural gas in the state.
4 We are paying increasingly close attention scrutinizing our
5 carbon molecules in the state hoping that we can find ways
6 for them to behave themselves. And making sure we do the
7 accounting right such that we can meet our long-term carbon
8 goals.

9 So natural gas, both at the power plant and at
10 the end-use, we really need to make sure we've got our t's
11 crossed and i's dotted and are being very intentional about
12 how we talk about these and how we model and how we
13 forecast. So in making our tools more and more capable
14 each time and I think it's great that we have the alignment
15 on those issues and that we really are able to bring the
16 resources to bear on this topic.

17 I know Chair Weisenmiller has a special interest
18 in this area as well (indiscernible) being the Lead
19 Commissioner on natural gas. And I will pass the podium to
20 him.

21 CHAIRMAN WEISENMILLER: Yes. Thanks,
22 Commissioner McAllister, and thanks everyone who's here and
23 particularly the staff for pulling this together.

24 Obviously the Natural Gas Price and Availability
25 Forecast underlies a lot of our work. I think this year,

1 Commissioner McAllister and I have been working on some of
2 the new Building Standards. You know, that's certainly one
3 of the key inputs there is indeed the price of natural gas,
4 which is also a key input into the price of electricity.
5 So that it's really important to get this right, so that
6 when we are adopting Building Standards or adopting
7 Appliance Standards that indeed, they are cost-effective.

8 And as Commissioner McAllister said, certainly
9 more and more we're looking at greenhouse gas issues,
10 carbon, sort of the Governor's goals. How that fits in
11 certainly is going to push us to keep looking at and
12 pushing the envelope on Energy Efficiency and cost-
13 effectiveness there.

14 But again, this is one of the key building blocks
15 is that in some respects this is a fairly esoteric topic.
16 But it is really one of the more basic or more fundamental
17 things that we do is price forecasting and then demand
18 forecasting, both for electricity and natural gas.

19 COMMISSIONER MCALLISTER: Thank you again, for
20 being here. And it's been very interesting, through the
21 buildings parts of IEPR this year, we're sort of combining
22 -- sort of taking advantage of the IEPR process to talk
23 about end-use Assembly Bill 758, which is our existing
24 buildings work.

25 And there's this growing sense that there's some

1 -- given the relatively low price of natural gas and the
2 understanding that we need to move towards electrification
3 over the long-term and some end-uses, particularly heating
4 end-uses, that there's some sense that, "Well, there' a
5 budding conflict there and if we're going to go for higher
6 cost technologies that use clean electricity what does that
7 really mean for our push towards Zero Net Energy and new
8 construction and electrification of particular end-uses in
9 the existing building stock.

10 And so that's actually I think a policy issue
11 that's becoming more and more apparent that we have to
12 engage and really put some resources on figuring out what
13 the path forward is there.

14 You know, part of the Governor's Energy
15 Efficiency Goal has been to clean up our heating fuels.
16 And that pretty much either means electrify or use biogas.
17 And so once question I think is the biogas future and what
18 the scale and what the sort of supply chain and scale looks
19 like on that front.

20 We heard the other day that the SoCalGas is
21 estimating that they could get up to say 40 percent of
22 their natural gas supply retail to be biogas. So let's
23 unpack that at some point and figure out what that means
24 for the forecast, for example. So anyway, bringing up some
25 issues here; probably there's time for that as we move

1 forward this afternoon.

2 I also want to welcome Commissioner Scott to the
3 podium or to the dais and really appreciate your coming.
4 And, you know, we're taking the baton from last year's
5 update and we're running with it as best we can, so thanks
6 for leaving us a good foundation. And I'll pass the
7 microphone to you.

8 COMMISSIONER SCOTT: Excellent, thank you. I'm
9 looking forward to seeing what information we have here
10 today with our Preliminary Outlook, so glad to be here.

11 MS. RAITT: Okay. So our first speaker is Leon
12 Brathwaite from the Energy Commission.

13 MR. BRATHWAITE: Good afternoon, Commissioners,
14 members of the audience. My name is Leon Brathwaite. I
15 work here at the Commission.

16 Today what I want to talk about is the
17 preliminary results of our natural gas common cases. I
18 want you to focus on the word "preliminary." There are
19 quite a few things that we are still working on and we will
20 be developing supervised cases. And these are due out in
21 August of this year. So with that I'll get right into my
22 presentation.

23 So what is the purpose of what we are doing here?
24 Number one, I would like to tell you about the key elements
25 of the natural gas model, how the model is run, I want to

1 talk about the common cases themselves, what are the
2 elements. And I also want to talk about the preliminary
3 results -- underlying preliminary. And in that we're
4 talking about demand, supply, prices, and any underlying
5 trends that we (indiscernible).

6 On the demand side in the model we have five
7 disaggregated sectors represented. Now, these sectors are:
8 the Residential, the Commercial, Industrial, Power
9 Generation and Transportation. In order for us to get our
10 starting values for the demand side we have an offline
11 operation that we do. And we use some independent
12 variables to determine those starting values.

13 For example, the independent variables for the
14 Power Generation is total electric generation, weather,
15 natural gas prices, fuel oil price, renewable electricity
16 generation and coal price. This is in the Power Generation
17 sector. In the other sectors we have other independent
18 variables that give us our starting values.

19 The one thing I want you to note in
20 Transportation, these factors, the independent variables
21 for Transportation are applied only outside California.
22 The in-state data is supplied to us by our Transportation
23 Office.

24 Also, from this regression work that we do we get
25 some elasticities in each one of the sectors. The range of

1 elasticities that we are using in this forecast, in this
2 process, is 0.53 to about 1.34.

3 On the supply side we have what we call Supply
4 Cost Curves. Now, this particular curve you are looking at
5 is not represented any way in the model. What you're
6 really seeing here is an aggregation of 400 plus curves
7 that we presently have in the model. And you can see that
8 this curve is moving to the right, starting in 2007 going
9 all the way to 2015, our current year.

10 The reason for that is that technology have
11 lowered costs and made natural gas supplies more abundant.
12 Keep in mind, during this time we are using somewhere
13 between 21 and 23 Tcf, yet our curve is moving to the
14 right. This tells us something about the abundance of
15 natural gas.

16 This here is a simplified view of our model. You
17 may hear me use the word NAMGas. It is really an acronym
18 for North American Market Gas-trade Model. So the
19 simplified view is this: we have natural gas supply basins
20 connected to interstate and intrastate pipelines, which are
21 then connected to our demand centers.

22 Now, we have this connection all over North
23 America, Mexico, the United States, Canada. We put it all
24 together, put data into our model, then the model iterates
25 through all time periods and all regions. Our time periods

1 that we are using on this particular forecast is between
2 2012 and 2015.

3 So the model iterates, from that we put estimates
4 of supply, demand, and hub prices. We also generate
5 burner-tip prices. Now, I will not be speaking any more
6 about that, because my colleague, Peter Puglia -- I hope
7 I'm pronouncing the name correctly -- will be speaking
8 about that in a little while.

9 So we constructed three cases. We had a Mid
10 Case, which I will be referring to as our Reference Case.
11 We have a Low Energy Demand Case and we have a High Energy
12 Demand Case.

13 The reason why we constructed these cases is
14 because we wanted to coordinate with the other models here
15 at the Commission. We wanted some consistency in the
16 underlying assumptions. And as we go through this process
17 we are trying to become more in-sync with the other
18 offices.

19 So here are the key assumptions. Now, I have 13
20 lines here, but the 3 lines that I really want you to focus
21 on is line number 6, line number 7 and line number 9.

22 The first of that is Coal Retirement. At my last
23 presentation, which was I believe in February, the Chair
24 raised this issue with us about Coal Retirements. So we
25 went back, we had some discussions internally, we also

1 consulted with some of our consultants and we came up with
2 a profile of Coal Retirements. So we have in our High
3 Demand Case, which in India we are calling that Aggressive
4 Coal Retirements, we had 120 Gigawatts. In our Reference
5 Case we are having 61 Gigawatts of retirements and in our
6 Low Case we are having 31 Gigawatts of retirement.

7 The next item is the elasticities. Now, in the
8 High Demand Case and in the Low Demand Case we turned off
9 the elasticity in this particular set of runs. We hope to
10 change that in our Revised Case. The reason why we did
11 that was to keep consistency with the other models that we
12 are using in this process, but as I said in the revised
13 cases we hope to turn those elasticities back on.

14 The next thing is our Cost Environment. So we
15 set our Cost Environment in the Reference Case at 1, we
16 call it the average cost. That's based on historic data.
17 And in the Low Demand Case, we have the Cost Environment
18 there of 52 percent of the average of the Reference Case.
19 And in the High Demand Case we have the Cost Environment
20 there at 23 percent or 24 percent above the Reference Case
21 values.

22 So now let us talk a little bit about the
23 performance of the cases. This is where we get in some of
24 the results and some of the trends that we are saying. So
25 the first thing we look at is Henry Hub Prices. As you

1 see, our High Demand Case results in our high price, which
2 is the green line or the olive line. The Mid Case or
3 Reference Case gives us the red line. And, of course, our
4 Low Demand Case gives us the lowest price projection.

5 We also included that dotted line that looks at
6 the historics and saw how it matched up with our
7 projections. And if I may say so myself, it looks like the
8 historic seems to match up really well with the projected
9 forecast. I don't mean to pat myself too much on the back
10 here, okay? Please don't take it that way.

11 So between 2018 and 2030 we are seeing growth in
12 prices of about 2 percent. The 2030 price varies between
13 about 3.60 in the Low Case to about 6.40 in the High Case
14 per thousand cubic feet.

15 And around the 2016-2018 region we are seeing a
16 sharp price rebound. That is really driven by demand
17 growth that is going faster than supply.

18 U.S. Natural Gas Demand. Of course, we are
19 seeing steady growth. If you look at all three cases we
20 are seeing steady growth. Annual growth rate in the
21 Reference Case is about 1.4 percent. By 2030 the U.S.
22 demand surpasses 80 Bcf per day.

23 Now, we get to Power Generation and this is
24 again, in the U.S. as a whole. So what is happening is
25 that Aggressive Coal Retirements, which is what we did in

1 our High Demand Case is generating that very large -- if I
2 may point to it with the cursor -- that very large increase
3 in demand that we are seeing right here after around 2021.
4 Again, Coal Retirements is driving that. By the end of the
5 forecast you can see that demand has surpassed 40 Bcf per
6 day.

7 What about production? Well, in general we can
8 say that the highest natural gas production is occurring in
9 our Low Demand Case. The reason for that is that we have
10 less imports from Canada and then we have lower -- the
11 Lower 48 is more competitive with Canadian imports.

12 Now, in general the cost profiles in Canada is
13 significantly lower than that in average in the Lower 48.
14 So in cases where we become more competitive with Canada
15 we're having less imports. So in the High Demand Case
16 where the Lower 48 is in a high-cost environment we are
17 having much more imports into the Lower 48.

18 We also decided that it might be worthwhile to
19 see how we compare relative to EIA. Well, as you see in
20 the schematic on the left, in general our prices are lower
21 than that of EIA's. The reason for that is that if you
22 look inside of both cases you will see that both
23 productions, if you look at the supply resources that are
24 available to satisfy the demands in these cases, the Energy
25 Commission has much more -- some more supply resources to

1 satisfy demand than is available in EIA's case. This has a
2 price-lowering effect.

3 So what's happening in California? This, of
4 course, is our point of major interest, so let's see what's
5 going on there. So what we did, we looked at two important
6 price points to California, Malin -- which is of course
7 located in Oregon in the north -- and we looked at Topock,
8 which of course is located in Arizona for their important
9 price points to the state.

10 As you see the price trends here are very similar
11 to that of Henry Hub. Growth rates are about the same. En
12 points -- there is not much difference between the end
13 points, which I'll talk about here shortly. But the trend,
14 definitely the trend, is consistent with Henry Hub. We
15 have some price differentials, which we will talk about
16 right now.

17 So what we are seeing here are two things.
18 Number one, with Topock the price differential is positive.
19 And we are defining the price differential as the point of
20 interest minus Henry Hub.

21 Now, in Malin we are seeing the reverse, we are
22 seeing a negative differential. The reason for that, at
23 Topock if you will look at a map of the United States and
24 look at the development of production, in particular look
25 at the development of shales, what you would notice --

1 nearly all of the shale development is occurring in the
2 eastern part of the United States. What that is doing is
3 having a lowering effect of prices in the east and not as
4 much effect in the west. As a result we end up with a
5 positive price differential.

6 As for Malin, there is another phenomena going
7 on. At Malin, there are two major pipelines bringing gas
8 to Malin. We have Ruby coming in from the east and we have
9 GTN coming in from the north. These two pipelines deliver
10 gas to California. And they are competing at Malin to see
11 who will be the winner. As a result, we are seeing this
12 major price differential on the negative side and we expect
13 that to grow as we go into the future.

14 How about California natural gas demand? We are
15 seeing that demand is being lowered in the early part of
16 the forecast. When I say early part, up until around 2024,
17 2025, somewhere in there. And after that we are seeing a
18 slight rebound in demand. The reason for that is that as
19 we implement renewables generation it is suppressing
20 demand. But once the renewables portfolio standard is
21 fully implemented then we'll see this rise that we are
22 seeing in demand at the end of the forecast.

23 So in general, we are seeing a decline of about
24 .6 percent between 2015 and 2026. Overall, natural gas
25 climbs to about 4.8 Bcf per day by 2030, but it still

1 remains below the level of 2015.

2 How about for our generation? Well, that decline
3 that I just spoke about is even more pronounced here. If
4 you look at the demand in the Reference Case you can see
5 the decline even more significantly than we saw on the
6 previous slide. That, of course, is as a result of the
7 implementation of our renewable portfolio standard. Of
8 course, we are still seeing the growth at the end of the
9 forecast. Once we have that full implementation the
10 dramatic effect that we had seen previously seems to
11 disappear a little bit, not totally but a little bit.

12 Now, if you can look at the Supply Portfolio for
13 California, we chose the year 2025 to do this. We could
14 have chosen any year we wish, I just chose 2025 at random.
15 I don't know. Now in this graph you will see that blue
16 edge and that is Malin. Now Malin includes two items.
17 Malin includes gas flows that come along Ruby and gas flows
18 that come along GTN from the north.

19 So what we are seeing here as you go through the
20 cases, as you go from left to right, the greatest variation
21 in terms of supplying California is occurring at Malin. So
22 we could infer that Malin is our marginal supplier. This
23 graph demonstrates the effects of our different sources of
24 supply that come into the state.

25 One of the things you'll also notice here, that

1 the share provided by instate production is not changing
2 very much. Well, of course, California is not developing
3 any new resources. And that value will not change unless
4 our development instate changes, so we are seeing this
5 relatively constant value. As you know, right now instate
6 production is declining and declining significantly and it
7 does so in all three cases.

8 So what are my conclusions? Number one, U.S.
9 natural gas demand grows at a rate of about 1.4 percent
10 between 2015 and 2030. It reaches 85.2 Bcf per day in the
11 Reference case by 2030.

12 The implementation of renewable generation
13 suppresses California's natural gas demand, declining at an
14 annual rate of about .6 percent between 2015 and 2026.
15 Overall demand reaches 5.8 Bcf per day by 2030, but it
16 remains below the level of 2015. And I think I showed this
17 previously.

18 Henry Hub prices rises to about \$5.40 by 2030.
19 That's a growth rate of about 1.8 percent between 2017 and
20 2030.

21 Aggressive Coal Retirements outside of California
22 contribute to higher natural gas demand and to higher
23 prices. And the reason why I say outside of California is
24 because we do not have very much coal to retire here within
25 the state.

1 California's share of the supply portfolio
2 remains relatively constant, relatively unchanged across
3 cases, but of course instate production is declining and is
4 declining significantly in all three cases.

5 Malin, which displays the greatest fluctuations
6 across the cases, is or could be inferred that it is our
7 marginal supplier.

8 So what are the next steps? We, of course, will
9 continue our investigation of Coal Retirements. As I told
10 you this was an issue that the Chair raised with us and we
11 had some discussion internal to the Commission, and we had
12 some discussion with some of our consultants outside. And
13 we made some changes and we will continue our work in that
14 regard.

15 We will look at the demand on demand and look at
16 the impact on prices.

17 We will also further investigate the Renewable
18 Portfolio Standard and we will incorporate anything that
19 comes out from the U.S. EPA.

20 We'll incorporate data from our Demand Analysis
21 Office and our Transportation Office. We didn't have that
22 data to available to us for this set of runs, but we
23 certainly will have them available in the revised cases and
24 they will be incorporated.

25 We will be examining the Canadian supply cost

1 curves. Now, this is a relatively large issue, because
2 those supply cost curves determine the amount of flows that
3 come into the Lower 48. We want to make sure that those
4 costs are robust and representative of what is actually
5 happening. So we will be looking at that a little more
6 closely.

7 Once we have done all of these things, and we
8 will do them, we will develop and produce the revised
9 cases. And that is scheduled for completion in August of
10 this year.

11 COMMISSIONER MCALLISTER: Hey, Leon? You had a
12 couple of issues there where you were going to work with
13 the EPA or get more information from EPA. Is that related
14 to 111(d) or something else?

15 MR. BRATHWAITE: Yes, it is, Commissioner. Yes,
16 it is.

17 COMMISSIONER MCALLISTER: Okay. So is that just
18 a matter of figuring out -- well I guess, how is that
19 relevant for the forecast itself for California? How's it
20 relevant beyond just sort of what California's compliance
21 with 111(d) might look like?

22 MR. BRATHWAITE: Well, you know, even though we
23 have no Coal Retirements to speak about here in California,
24 but Coal Retirements that are occurring outside the state
25 does affect us in this manner.

1 If we have, say let's go back to the Aggressive
2 Case that I just spoke about, if we have that say
3 aggressive amount of Coal Retirements actually occurring
4 that will certainly raise prices. And if that raises
5 prices yes, we will feel it here in California. And I'm
6 showing you the trends that compare, when you looked at
7 Topock or you look at Malin compared to Henry Hub, which is
8 in Louisiana. I show you how similar those trends are
9 looking. So yes, Coal Retirements, we do not have any
10 within the state, but we certainly will be affected by
11 anything that happens outside the state.

12 COMMISSIONER MCALLISTER: Okay. I've got it.
13 And then is it a similar sort flip side for that same issue
14 for the RPS.

15 MR. BRATHWAITE: Indeed sir, yes.

16 COMMISSIONER MCALLISTER: Okay. Yeah, okay.
17 Thanks.

18 CHAIRMAN WEISENMILLER: Now, I think on
19 renewables we really have to reflect the Governor's
20 Greenhouse Gas Goals. And so we're really talking about
21 getting 50 percent renewables by 2030 --

22 MR. BRATHWAITE: By 2030, yes.

23 CHAIRMAN WEISENMILLER: I think also we have to
24 take into account in terms of the Southern California, the
25 air quality regimes. Requirements are likely to come in

1 and certainly we should really connect first to SoCalGas
2 and triangulate with them, Edison and ARB. But certainly
3 what I generally hear from the South Coast Air Quality
4 Management District is that it's going to be very, very
5 difficult to meet the EPA requirements, because of the
6 Clean Air Act in SoCal and San Joaquin. And then we may
7 have to be moving to a post-combustion world down there.
8 And so again, I think we could see major impacts.

9 There's also the other thing that could affect
10 gas demands is gas for goods movement. But I think in
11 terms of trying to reflect sort of the impending changes
12 there it would be very important looking forward, which
13 will certainly affect the demand for gas. And will come
14 back and affect the price.

15 I guess looking at the price side of stuff, one
16 of the questions is how much -- we have procurement and
17 then we have distribution. And obviously at this point
18 there's a lot of investments going on in the gas
19 distribution system in terms of reducing leakage and
20 increasing safety.

21 MR. BRATHWAITE: True.

22 CHAIRMAN WEISENMILLER: And so trying to build
23 those in on the prices will be important, which probably
24 means presumably we are connecting to the PUC on the gas
25 price forecasting. But that will be very important to do

1 those connections. We could be looking at higher cost for
2 safety and less (indiscernible) and that certainly will
3 have impacts on costs, which to the extent we need to
4 really be using this for setting our Building Standards and
5 Appliances and a lot of that.

6 So we have to use the numbers right, which means
7 we need to reflect those changes.

8 COMMISSIONER MCALLISTER: In particular, I would
9 just -- absolutely, those are fantastic points. And in
10 particular on any influence that's going to push prices up
11 really we need to try to anticipate that.

12 MR. BRATHWAITE: True.

13 COMMISSIONER MCALLISTER: Well, for any number of
14 reasons, but we just want to get it right, but also sort of
15 the relative difference between electricity and natural gas
16 in terms of price really does exacerbate that difference in
17 policy pathways that I was talking about before.

18 So if it's actually not so drastic or if the
19 discontinuity between gas and electricity isn't as big,
20 then that's really helpful to know as well. So any forward
21 thinking we can do and work with the PUC on where they
22 think things might be going would be really good to
23 incorporate.

24 MR. BRATHWAITE: Commissioners, I can assure that
25 as we go through this process all information that we get

1 whether it's from the CPUC, whether it's from the EPA,
2 whether it's from things that are going down in the
3 southern part of the state, we will try our best, as best
4 as we can, to incorporate that into our work.

5 MR. BRATHWAITE: Yeah, I wonder -- well we have a
6 reliability, Southern California Reliability Workshop down
7 there. And I think having Barry Wallerstein hopefully on
8 the dais there will help us build a record and maybe we can
9 tee up some of these issues there to sort of get a second
10 bite. Get another bite at the apple and talk whatever
11 issues through that we need to then.

12 CHAIRMAN WEISENMILLER: And certainly encourage
13 all of the stakeholders to -- you know, when you do your
14 written filings address some of these questions and help us
15 get the best thinking we can on these questions.

16 I guess the other one, which -- so my
17 anticipation is there's not much in the way of fracking in
18 terms of gas production in California. But, you know,
19 certainly that's a big issue and I would anticipate tighter
20 and tighter regulations in California on fracking when the
21 study is done by the Department of Oil and Gas.

22 MR. BRATHWAITE: Right, right. Well, the
23 Department of Oil and Gas is supposed to come out with some
24 regulations here in the near future. So whatever impact
25 that will have upon any development or any potential

1 development, I'm sure it will be quite evident and
2 certainly we will incorporate that in any work that we are
3 doing.

4 COMMISSIONER MCALLISTER: So before I just want
5 to make sure this sort of gets a task going forward on the
6 renewable gas front. You know, I think there are quite a
7 few complete sort of different claims about what the future
8 looks like. And I think it'd be really good to get -- to
9 create the foundation, sort of a good analytical
10 foundation, and a good sort of documentary record about the
11 biogas future.

12 MR. BRATHWAITE: Yes.

13 COMMISSIONER MCALLISTER: And it's really -- you
14 know, if the top end is 40 percent what are the scenarios
15 that are most likely in there -- I think would be really
16 helpful to project.

17 MR. BRATHWAITE: Well, in this set of runs we did
18 the mandate incorporated, which is 33 percent by 2020. We
19 understand the Governor has since produced an executive
20 order about having 50 percent by 2030. And we certainly
21 will be doing scenarios on different sort of sensitivities
22 to look at just that requirement or any of the biomass --
23 some of the other biomasses uses that will be taken into
24 consideration also.

25 COMMISSIONER MCALLISTER: I guess really it's

1 more than just the Renewable Portfolio Standard, but just
2 the idea that the gas distribution utilities are going to
3 have to be offering a mix of product that includes a much
4 heavier proportion of biogas in order to make that end-use,
5 you know, sort of -- in order to decrease -- mitigate the
6 impacts of combustion of gas generally, right?

7 MR. BRATHWAITE: Right, sure.

8 COMMISSIONER MCALLISTER: So really this is
9 across the board, not just with respect to power plants and
10 RPS, but end-uses of all sorts. So the forecast should try
11 to include as much of that as possible.

12 CHAIRMAN WEISENMILLER: Yeah, I think if you look
13 at the E3 PATHWAY Study that was done as part of the
14 development of the Governor's Greenhouse Gas Goals it has
15 some scenarios looking at basically the development of
16 biogas and using that more in the system. And one of the
17 things which we really struggled with in that work was how
18 much biogas would be used for power. How much it would be
19 used for transportation and what were some of the limits.

20 One of the studies we found, which I had some
21 difficulty personally with, was that a lot of biogas would
22 be imported into California going forward. So again,
23 there's certainly a lot of very interesting work that
24 frames some of the questions. But again, as you try to
25 deal with basic gas supply and demand and what that means

1 for prices, then certainly the lower the demand and the
2 more the supplies, then the lower the price.

3 MR. BRATHWAITE: Sure, yes. Indeed.

4 COMMISSIONER MCALLISTER: And there's no need to
5 go into some of the statutory issues there, the high-level
6 scenarios. I mean, you know, there are other forums that I
7 think we would discuss things like contractual details for
8 importing biogas from Louisiana or whatever those might be.
9 You don't have to concern yourself with those, but
10 certainly the mix of supply in some scenarios would be
11 really helpful.

12 MR. BRATHWAITE: Indeed. Indeed and I can assure
13 you, sir, that we will be taking as much as we can. I
14 mean, we are modeling and we have some broad definitions in
15 there. But we certainly will take as much as we can into
16 consideration and incorporate where possible
17 (indiscernible) scenario sensitivities or anything like
18 that, that ran, to speak to any of the concerns raised by
19 the Commissioners.

20 COMMISSIONER MCALLISTER: Great, thanks.

21 MR. BRATHWAITE: Sure. Okay. Thank you very
22 much.

23 MS. RAITT: Next is Chris Kavalec from the Energy
24 Commission.

25 MR. KAVALEC: Good afternoon. I'm Chris Kavalec

1 from the Energy Assessments Division.

2 I will be talking today about our End-User
3 Natural Gas Forecast for California. We in the Demand
4 Office are better known for our Electricity Demand
5 Forecast, but whenever we undertake an Electricity Demand
6 Forecast we also, at the same time, produce an End-User
7 Natural Gas Forecast using the same models and techniques
8 and so on. And we use the same sectors listed here that we
9 do for electricity.

10 And we also, on the Electricity side we get an EV
11 Forecast from our Transportation Unit. On the Natural Gas
12 side we get a Natural Gas Vehicle Forecast from that unit.

13 Separate models, as in the case of Electricity
14 for each sector. And Leon alluded to three demand cases.
15 We have a High, Mid and Low where our key inputs are varied
16 like economic/demographic growth and prices.

17 I have weather listed here. We incorporate
18 potential climate change on natural gas demand by employing
19 scenarios, temperature scenarios provided to us from the
20 Scripps Institute of Oceanography. And we convert those
21 temperature scenarios into changes in heating degree days,
22 which affect natural gas demand.

23 When we forecast, we forecast for four planning
24 areas: the three IOUs and then all the other little ones
25 combined into "other."

1 We incorporate Building and Appliance Standards
2 within our residential and commercial end-use models. And
3 by end-use model I mean these are models that operate from
4 the ground up at the house level on the residential side
5 and the square footage level on the commercial side.

6 Also utility incentive programs, in our forecast
7 in 2014 we have about 200 million therms of estimated
8 savings from efficiency programs, which decays to about 100
9 million therms by the end of the forecast period.

10 And I mentioned the climate change and a lot of
11 talk about the drought. We have rainfall incorporated as
12 driver in our agricultural sector and more about that in a
13 minute.

14 This is a summary of our Forecast Structure. We
15 have our sector models and those results are transferred to
16 our summary model where the results are aggregated and
17 weather adjusted and calibrated to actual consumption.
18 Peak model there not relevant for the natural gas side and
19 that provides us our annual Natural Gas End-User Forecast.

20 And here's what our latest forecasts, Preliminary
21 CED 2015 we're calling it, looks like at the statewide
22 level. The three scenarios at the top there and then in
23 red we have the Mid Case Forecast from the 2013 Forecast.
24 And you'll notice we start off at a higher point and that's
25 because consumption in 2013 of end-user natural gas or end-

1 user consumption was higher than we had prediction in 2012,
2 so we start off at a higher point.

3 You notice the 2013 Forecast is pretty flat and
4 that would've been the case in this forecast as well except
5 we have projected a large increase in natural gas used by
6 medium and heavy-duty trucks from our Transportation Unit.

7 So I've asked Bob McBride from our Transportation
8 Unit to be here in case there are any questions about the
9 Natural Gas Vehicle Forecast. Otherwise the Transportation
10 folks will be having a workshop in June where they will go
11 into detail about their forecast including natural gas
12 vehicles.

13 And here's what it looks like for natural gas
14 vehicles. You see a very large increase from around 100
15 million therms all the way to above a billion therms.

16 Taking a look at growth by planning area for the
17 three IOUs, at the top there you'll notice SoCalGas has the
18 lowest growth rate of the three. And that's because a lot
19 of their natural gas usage comes from resource extraction,
20 meaning gas and oil extraction. And that sector is
21 projected to continue to decline in importance. And
22 therefore that has a negative effect on SoCalGas, more than
23 the other two IOUs, because that's a bigger sector in
24 Southern California.

25 Looking at it by sector, the impact of decline in

1 the resource extraction sector is also reflected for
2 industrial. The Industrial Forecast, which is negative.
3 Residential is flat and one of the big reasons for that is
4 that there are very few end-uses on the residential side.
5 And most of them have been addressed by our Building and
6 Appliance Standards. More end-uses on the Commercial side,
7 less percentage-wise addressed by standards, a little bit
8 of growth in the commercial sector, around 3 quarters of 1
9 percent.

10 COMMISSIONER MCALLISTER: Hey Chris, where is
11 that growth probably coming from? Is that just square
12 footage growth or is there some other driver?

13 MR. KAVALEC: Yeah, it's basically coming from
14 square footage and on the residential side from increase in
15 the number of homes, but you don't have the Standards
16 impact on the commercial side as it grows as you do on the
17 residential side. So that's why you have more growth.

18 COMMISSIONER SCOTT: Chris, do the numbers from
19 the previous slide -- the consumption from transportation
20 -- I mean, does that also translate itself into a
21 percentage that you could include here, so that you've got
22 the Residential, Commercial, Industrial and then maybe
23 there'd be a Transport one there as well?

24 MR. KAVALEC: Yes, I could do that and that
25 would, of course, be by far the biggest since we're

1 increasing by a factor of ten over the forecast period.

2 COMMISSIONER SCOTT: Right.

3 CHAIRMAN WEISENMILLER: Chris, I just had one
4 question on the impacts of reduced oil and gas production.
5 You know, that one of our major areas is Kern County.
6 Obviously there's some like Long Beach, some within the
7 L.A. Basin area, but Kern County has a really complicated
8 split between the two utilities for gas service. In fact,
9 there was one period of time where the two of them were in
10 a war on who could basically serve specific customer. So I
11 would be anticipating PG&E would also see some impacts in
12 this portion of the Kern County load?

13 MR. KAVALEC: Yeah, and they're -- I don't have
14 it here, but their Industrial Forecast is the lowest of the
15 three sectors. I don't have it listed here, but yeah.

16 CHAIRMAN WEISENMILLER: Okay. Good. Okay,
17 thanks.

18 MR. KAVALEC: Okay. I mentioned climate change.
19 We get scenarios from Scripps and we developed a scenario
20 with relatively high increases in maximum temperatures
21 among their scenarios of which there are 12 to 15. And for
22 our Mid Case we used a temperature increase roughly in the
23 middle in those scenarios.

24 What ended up happening though was although in
25 the High Demand Case we had higher maximum temperature

1 increases. In the Mid Demand Case we had much higher
2 increases in minimum temperatures. The result of that was
3 that heating degree days decreased by more in the Mid
4 Demand Case than it did in the High Demand Case. And you
5 see the results here, that the consumption decrease --
6 where this is a decrease in heating degree days -- is
7 higher in the Mid Demand Case than it is in the High Demand
8 Case.

9 COMMISSIONER MCALLISTER: So, let's see I'm going
10 to ask something that also has to do with Electricity
11 Forecast, but it sort of seems like those are flip sides of
12 one for the other, right? You've got sort of your extreme
13 case on the cooling side would be high temperatures, which
14 would be less -- you know, fewer heating degree days,
15 right? So you have more cooling degree days, fewer heating
16 degree days.

17 In the overall sort of integrated Forecast where
18 we're laying all these forecasts side to side and sort of
19 trying to make them internally consistent, I'm assuming you
20 would pick the right scenarios to go together in the
21 overall package?

22 MR. KAVALEC: Yeah, and that's a good question,
23 because we have typically just taken the scenarios and
24 said, "Okay, here's one roughly in the middle temperature-
25 wise. Here's one towards the end. This will be our high,

1 this will be our mid." But you end up sometimes with what
2 we have in this case with a larger increase in minimum
3 temperatures and something in the Mid Case. So what I'm
4 planning to do is to talk to Scripps about developing a
5 distribution, so we can have something more consistent in
6 our scenarios.

7 What happened on the Electricity side is because
8 of there was such a large increase in minimum temperatures
9 and reduction in heating degree days you get very little
10 impact on electricity consumption in the Mid Case from
11 climate change, much higher in the High Case.

12 COMMISSIONER MCALLISTER: High consumption,
13 right. Okay.

14 MR. KAVALEC: Anyway, my point is to avoid this
15 sort of issue in the future we can hopefully develop some
16 sort of consistent distribution we can use instead of just
17 picking individual scenarios.

18 COMMISSIONER MCALLISTER: Yeah, I guess that's a
19 question kind of about the interagency discussion too.
20 Sort of when we're working through and when we're
21 discussing the scenarios, it doesn't seem right to sort of
22 say, "Okay, well we have this (indiscernible) for natural
23 gas discussion, what do we think the most likely scenario
24 is there?" And then have a completely separate discussion
25 about electricity. What's the likely scenario there?

1 Well, if we go with the -- maybe if we go with
2 Mid both scenarios then it just doesn't become that big of
3 an issue. But the sort of high-heating and high-AC
4 scenarios kind of don't go together naturally, right? So
5 we kind of need to integrate that discussion across the two
6 fields and probably for other reasons as well. But I think
7 a distribution might get us partway there and then we just
8 have to be intentional about what overall scenario we're
9 picking. And then make sure that we have the right -- in
10 each fuel sector we have the right implications build it,
11 right?

12 MR. KAVALEC: And we have had discussions on
13 those scenarios, not specifically about climate change, but
14 the point I always try to make is you can never make
15 everything consistent.

16 COMMISSIONER MCALLISTER: Yeah, yeah. Well, and
17 a distribution would get us some of that. So I think that's
18 a good move.

19 MR. KAVALEC: Yeah, we'll always have some
20 inconsistencies.

21 CHAIRMAN WEISENMILLER: Yeah, the other thing I
22 was going to point to is a recent paper by Michael Mann and
23 Peter Click. And they looked at western climate and they
24 do a distribution of temperatures and hydro. And they find
25 a strong correlation between a very hot climate in

1 California and very dry. And so again, I'll pass that on
2 to you as we should docket it.

3 But again, as you look at the gas and electric
4 interactions, certainly indeed when it's hot it's also dry.
5 That has implications on certainly the power system too.

6 COMMISSIONER MCALLISTER: Absolutely. And then
7 to the extent climate change produces a broader
8 distribution part of the impact may not even be so much an
9 average as just the width of the distribution, in which
10 case you're going to capture a lot of scenarios when you go
11 that route. So the sort of diversity impact I think is
12 important to capture in there.

13 MR. KAVALEC: Yes.

14 Okay. Just for fun I looked at the impact of
15 continued drought on the agricultural sector natural sector
16 use, which I guess is mainly for irrigation purposes. So
17 you have this inverse relationship between rainfall and
18 natural gas usage in the agricultural sector. So I have
19 the red line labeled the "continued drought" case here.
20 And just assume that rainfall in inches continued as the
21 average of the last three years. Rather than in the base
22 case we assumed a 30-year average for rainfall.

23 And you see the difference here, around 9 million
24 therms by the end of the forecast period. Not a huge
25 amount, but it is 6 to 7 percent of the sector's use.

1 Okay. So next for us we will, of course, be
2 doing a revised forecast in the fall where we will
3 incorporate yours and stakeholders comments, updating
4 historical consumption, that's always important. We're not
5 able to update to 2014 for the preliminary forecast in
6 terms of consumption data. We will do that for the revised
7 forecast. Of course, we'll update our econ-demo and
8 natural gas prices from Leon.

9 And the big thing probably is we will have
10 another round of additional achievable energy efficiency
11 from the CPUC potential study that's going on right now.
12 And that will be incorporated in both our End-User Natural
13 Gas and Electricity Demand Forecast.

14 COMMISSIONER MCALLISTER: Hey Chris, what's kind
15 of the kind of timeframe for that? I mean, I know we
16 always find ourselves crunched at the end of the year and
17 kind of have to bleed over into the following year. And
18 that's in order to get the summer into the analysis. Is
19 that kind of generally the case now, you think, the same as
20 it ever was or is there some new effort to kind of get the
21 timeline in order?

22 MR. KAVALEC: Yeah, we are, in fact, going to
23 start the process specifically for AAEE within the
24 potential study in June as soon as we finish the
25 Preliminary Forecast.

1 COMMISSIONER MCALLISTER: Oh, great. Okay.

2 MR. KAVALEC: And I think as I mentioned before,
3 or in our Electricity Demand Assumptions Workshop we're
4 pushing the revised forecast back to December, so that we
5 can incorporate the summer loads in the forecast.

6 COMMISSIONER MCALLISTER: Right, okay.

7 MR. KAVALEC: So that, I believe, gives us plenty
8 of time to analyze and incorporate the AAEE savings.

9 COMMISSIONER MCALLISTER: Okay, great. And this
10 is Navigant who's doing the work for --

11 MR. KAVALEC: This is Navigant, yeah.

12 COMMISSIONER MCALLISTER: Okay. So we have to
13 wait to really bring it home for that output.

14 MR. KAVALEC: Right, but as I said Navigant is
15 specifically focusing on AAEE as starting in June.

16 COMMISSIONER MCALLISTER: Okay, great. That's
17 good, thanks.

18 MR. KAVALEC: Okay. Thank you.

19 COMMISSIONER MCALLISTER: Thanks, Chris.

20 MS. RAITT: Next is Peter Puglia.

21 MR. PUGLIA: Good afternoon Commissioners, and
22 members of the audience. Thank you for your time. My name
23 is Peter Puglia and I am an analyst in the Natural Gas Unit
24 and Supply Analysis Office here at the Commission.

25 I have a presentation that is not controversial.

1 I'm going to be talking about a tool that is used to
2 produce controversial things like forecasts of prices. You
3 can't yell at me.

4 COMMISSIONER MCALLISTER: Well, we often find
5 that things we think are non-controversial turn out to be
6 really controversial. That's kind of hard to predict,
7 right?

8 MR. PUGLIA: I've been forewarned. Thank you,
9 Commissioner McAllister.

10 I'm here to talk about the Burner Tip Natural Gas
11 Price Model, which has been out for -- the first version
12 was posted to our website November of 2013, but it's been
13 in development for almost four years. It's high time to
14 talk about how it works, the underlying data, the
15 references to the theoretical considerations that go behind
16 it, because it's gained currency with individuals,
17 analysts, grid planners. Not just here in California at
18 the ISO, one of the IOUs I've had repeated contacts about
19 it, but also in the WECC. So I'm going to walk through
20 exactly what it does, why it does it, and some of the
21 background of that model.

22 Okay. An important distinction -- the purpose of
23 the Burner Tip Model is to do what the NAMGas Model
24 estimates does not do. Leon was talking a half-an-hour or
25 40 minutes ago about the prices, the supply demand

1 estimates that the NAMGas Model produces. Those are values
2 that are estimated not at anybody's Burner Tip. Not in
3 Residential, Commercial, Industrial or Power Gen sectors.
4 Those are values for supply, demand and price at any one of
5 the NAMGas hubs across North America. The Burner Tip Price
6 Model takes as its principal input, the output from the
7 NAMGas Model and calculates to account for the cost of
8 taking the gas at the NAMGas hub and moving it to power
9 plants across the Western Interconnect.

10 So what it's doing is it's providing a plausible
11 estimate of proprietary natural gas prices that electric
12 generators pay, not in the future, but assuming future
13 conditions in of course the 2015 IEPR Common Case
14 scenarios, because it's principal input is the output from
15 the NAMGas Common Case scenarios.

16 Natural gas prices are critical for modeling
17 electric resources. Planners, grid operators and investors
18 need plausible price estimates. Planners for modeling and
19 siting resources, grid operators for reliability and
20 stability and investors because if you're going to put down
21 a lot of money to site a power plant, even if it's not
22 natural gas-fired, you need to know what the cost is going
23 to be or what the cross-substitutional cost is going to be.
24 If gas is so cheap that it might dispatch over some other
25 fuel.

1 So that makes the Burner Tip Natural Gas Price
2 Model a bridge between the NAMGas and the PLEXOS models.
3 And because it uses as its principal input the NAMGas Model
4 outputs it has gained currency for being able to provide a
5 set of plausible estimates of the price of gas given those
6 conditions -- a high reference and the low cases in the
7 2015 IEPR Natural Gas Outlook.

8 For that reason we use it here as an input into
9 PLEXOS to simulate electric grid resources dispatched in
10 the WECC.

11 Now there are 13 price hubs in California, there
12 are 61 price hubs in the WECC in the NAMGas Model. The
13 Burner Tip Price Model picks out 24 of those as the best
14 fitting hubs to estimate prices at approximate natural gas-
15 fired power plants in the Western Interconnect.

16 They're not always the closest, but the distance
17 relationship is correlated strongly with the cost of
18 getting the gas through a pipeline, right? The longer --
19 some pipelines like Gas Transmission North, which comes out
20 from Canada uses a postage stamp rate. Whatever distance
21 you're sending it is the price you pay. It doesn't matter
22 what the distance is, most interstate pipelines charge by
23 distance. So this is a reasonable assumption to use.

24 We include the Malin, PG&E Citygate, Topock,
25 Arizona which is the most liquid of the Southern California

1 incoming interstate natural gas pipeline meters. We also
2 use Malin, which is the big pipeline junction at Malin,
3 Oregon where the Ruby Pipeline comes in from the North
4 Rocky Mountains and Gas Transmission North comes down from
5 Canada. Two major pipelines meet at Malin and then feed
6 into PG&E's Redwood Path, which are lines 400 and 401.
7 These are liquid, meaning lots of transactions for gas are
8 based on those hubs.

9 Okay. We also assume the reality, which is that
10 generator aren't going to be paying firm prices. Other
11 marketers will buy firm capacity on pipelines and they'll
12 assume some of the risk to sell at a particular discount to
13 electric generators. But the model tries to accommodate
14 that by assuming that most of the capacity's interruptible,
15 which the generators are paying.

16 The capacity to move the gas they buy, which is a
17 separate charge, which the NAMGas Model estimates. That
18 capacity price is pretty much close to the interruptible
19 rate. It is also a function of capacity release markets,
20 how much is the pipeline subscribed? If the interstate
21 pipeline is heavily subscribed, it is heavily trafficked,
22 it is full much of the time, then you're going to get
23 closer to the interruptible rate. You could have a
24 discount from that if the pipeline is undersubscribed.
25 It's trying to reflect the reality, but again it's modeling

1 that.

2 Oh, I forgot to mention, if you look in the
3 report that we have posted on our website it has a history
4 of transportation rates, the capacity costs that you have
5 to pay in the pipeline tariffs. And they are up and down
6 and up and down and up and down. There isn't any pattern,
7 either linear or second order, so we just assume that the
8 capacity prices in the tariffs extended out into the future
9 for the Burner Tip price all are flat. Whatever they are
10 this year or whatever they're going to be next year, until
11 we open up the tariffs and find whatever they've changed --
12 and then I go in and I change those capacity prices in the
13 model.

14 We've elected Henry Hub as the best choice to
15 calculate seasonal factors. That has been an issue of
16 debate with other grid planners outside of the Commission.
17 We've chosen it, because it's a pricing point for the New
18 York Mercantile Exchange, gas futures contracts,
19 intercontinental exchange, over-the-counter swaps. The
20 difference that we had with other grid planners had to do
21 with a very reasonable expectation that instead of using
22 Henry Hub Louisiana, if we used a set of hubs that were
23 spread across the Western Interconnect we would probably
24 get seasonal factors to adjust, to take the annual NAMGas
25 price. And turn it into 12 seasonally-adjusted prices that

1 would be more reflective of what you see in the Western
2 Interconnect than just using a single set of 12 factors
3 that were derived from historical Henry Hub prices.

4 The statistical tests that we did about a year
5 ago showed that there wasn't any difference. And one of
6 the major reasons is that, of course, you're taking an
7 annual gas price and you're turning it into a monthly price
8 a lot of what is going into that change in the price from
9 month to month is the weather. Chris talked about that in
10 his presentation and that's the case.

11 The reason a hub like Henry Hub in Southern
12 Louisiana, which is -- I lived down there -- it seems like
13 it's not really representative, but there are nine
14 interstate pipelines that run through Henry Hub that extend
15 up to -- two of them extend up into Illinois. One of them,
16 Transcontinental Pipeline, is 42 inches wide; it goes all
17 the way out to New York City. Two pipelines extend all the
18 way across to Florida. So there is a lot of gas moving
19 through Henry Hub where the transactions on that gas
20 reflect markets everywhere east of the Mississippi River.
21 And that's part of the reason why Henry Hub works so well
22 for modeling our seasonal factors.

23 We also needed it, because we're taking the
24 NAMGas prices and we're turning them into monthly prices.
25 We had to take one annual price up here and the next year's

1 price, which is here from the NAMGas Model in each of the
2 three scenarios. And we had to turn them in monthly prices
3 without some kind of a big break between the two years. We
4 discovered that if we dropped the traditional January to
5 December year and we went instead with June to May we found
6 that the discontinuities go away. We get a difference
7 between the Burner Tip Model's estimated price and the
8 actual price and the actual price in a backcast that was
9 smaller than if we had stuck with the traditional January
10 to December factor.

11 And the biggest reason is that the June seasonal
12 factor in any one of the samples we've used: the 5-year
13 Henry Hub historical set of prices, the 10-year or 20-year
14 the June seasonal factor is closest to 1. And so that is
15 going to be multiplied by that set of factors. If your
16 factor's closest to 1 and you set your year break May to
17 June, your discontinuity goes down to what it actually was
18 between the two years divided by 12.

19 Does that make sense?

20 Okay. And the pseudo-code that I'll help you
21 walk through -- I'm going to get into the actual mechanics
22 now. And in my first degree in physics I was warned at
23 Santa Cruz that you either do the problems or you won't
24 know anything by reading a book. So doing the calculation
25 again and again and again until 4:00 o'clock in the morning

1 is the only way I learned anything. And it is part of my
2 pedagogy in this case.

3 The Burner Tip Price, very simply is the
4 commodity price from the NAMGas model for the three
5 scenarios plus the pipeline cost. What you have to pay the
6 interstate pipeline or if it goes into Southern California
7 what you'll have to pay SoCalGas to get it to the power
8 plant burner tip. The commodity price within that equation
9 is the seasonal factor times the Triple A price and I don't
10 want to walk -- you can read English for yourselves.

11 The one point of no transparency is you'll see
12 under the seasonal factor that it's derived from NGI Henry
13 Hub Bidweek Survey. That's natural gas intelligence. We
14 pay these people in Virginia to do a survey of the monthly
15 bidweek survey of natural gas prices that are traded at
16 Henry Hub, because we found that that's the closest thing
17 to the general reference equilibrium price for a power
18 generation gas contract.

19 So now I'm going to get into a less abstract and
20 even more mechanical going from pseudo-code towards a
21 machine language of how the Natural Gas Burner Tip Price
22 Model works. The variables that you see that are
23 highlighted in red are described on this slide. The
24 variables that you see in red on the next slide are
25 described on that slide, okay?

1 And again, all of this is publicly available
2 information except for the NGI, which is the Natural Gas
3 Intelligence Bidweek price.

4 And this is an example for an October Burner Tip
5 Price. Now, this is the very end, this is the machine
6 language dead-end here.

7 If you open up the currently posted Natural Gas
8 Burner Tip Price Model on our website -- I'll have a link
9 for you at the very end where you can find that -- and you
10 open up the October 2020 SoCalGas price, which is at
11 Topock, Arizona-Needles, California Hub -- the Burner Tip
12 Price Hub there -- you'll see that the price is \$6.06.
13 You'll see that the seasonal factor is 0.9304 and that is
14 the median of the 2009 through 2014 -- you'll see them all
15 in a row there -- 2009 through 2014 Henry Hub average ratio
16 of monthly price for October over the entire year, okay?

17 So I've shown how that seasonal factor is worked
18 out for the factor we use. I gave another example, 0.9310
19 is similarly calculated -- blah, blah, blah.

20 Finally, we get into the reality check. Why are
21 people using this, why does the model produce prices that
22 have a measure of plausibility that people find that
23 there's value in it. Again, it relies heavily on the
24 NAMGas Model, which allows a grid planner or investor or a
25 policy maker to look at a plausible and coherent future

1 world and make a judgment about how the power grid could
2 react given those assumptions.

3 We have three common cases, three scenarios with
4 their constituent assumptions, to simulate the gas price in
5 the Western Interconnect. And a Computable General
6 Equilibrium Model will do that without being influenced by
7 history. Kimetric (phonetic) Models, they rely heavily on
8 past values to populate their variables. They are -- the
9 variables are populated by historical values.

10 We used historical gas prices and backcast
11 validations. The WECC, if you look at the report in the
12 appendix you'll see that there are some backcast
13 validations that compare the prices that we would've gotten
14 in previous years from the Burner Tip Price Model compared
15 to these other entities.

16 And then finally where any forecaster would
17 probably share a space with me in agreement, is that you
18 have to run these prices, you have to populate a power grid
19 model like PLEXOS with these prices. And you have to see
20 under different conditions, what kind -- how does the power
21 grid behave as a consequence?

22 And if you have a lot of experience as a power
23 grid modeler you'll be able to see if the Natural Gas
24 Burner Tip Price Model is a joke or if it actually gives
25 you something that looks like resources are being

1 dispatched closer to Southern California before they're
2 being dispatched in West Texas.

3 With that I conclude my presentation. I'm
4 available for your questions. Thank you.

5 COMMISSIONER MCALLISTER: Thanks very much, that
6 was great. I think I'm good, actually.

7 MR. PUGLIA: Like I said it's all mechanical, no
8 controversy.

9 COMMISSIONER MCALLISTER: You know, I didn't get
10 you on the sort of pseudo-code to machine language analogy.
11 I don't know if everybody else here did, but --

12 MR. PUGLIA: I apologize. It's computer
13 programming.

14 COMMISSIONER MCALLISTER: Yeah, having different
15 languages than that, yes.

16 MR. PUGLIA: Yeah, yeah. If you really care I'm
17 sure somebody here could explain it.

18 COMMISSIONER MCALLISTER: No, no, it's fine.
19 Thanks. Thanks a lot.

20 MS. RAITT: All right, next is Anthony Dixon.

21 MR. DIXON: All right, good afternoon everyone.
22 I'm Anthony Dixon. I am here to talk about our Natural Gas
23 Price Forecast Retrospective. This is looking at our past
24 forecasts and using them to help look at our current
25 forecast.

1 It is important to know that when you're
2 forecasting natural gas prices there are so many factors,
3 as you saw in Leon's presentation, that go into doing our
4 forecast. There's a lot of things we can't account for.
5 By doing these error bands we allow for a comparison of the
6 current IEPR common cases to historical estimates. And
7 help ensure that these are reasonable assumptions in us
8 doing our due diligence as modelers.

9 These are the past forecasts that were used for
10 this model and we were looking at these and going, "Well,
11 we have all these predictions. How close were they to real
12 numbers? How close were they to the actual Henry Hub
13 numbers?" So to do that we looked at different statistical
14 methods. And we looked at the mean absolute percent error,
15 which is just a statistical method for determining the
16 goodness of fit of past predictions to actual prices.

17 And so what we did is we took every forecast that
18 we had done, we normalized them. And then we took the
19 percent error between them and the actual Henry Hub prices,
20 for all the models, and we came up with this.

21 And then we aligned each one for a year's
22 forecast. And so the first year forecasted in each model
23 is aligned, the second year or the third year and so on.

24 And then you take the average of those years,
25 which is the bottom line here, of each one. Then we used

1 Excel to produce a linear equation using those mean
2 absolute percent error averages. And apply that to our
3 current IEPR common case, Mid Case. And this is what we
4 came up with.

5 So these are more plausible Henry Hub price
6 ranges for the preliminary IEPR cases for 2015. The
7 plausible ranges in the error bands is much larger and
8 encompasses more uncertainty than the common cases
9 themselves do. The common cases right now capture only
10 about 28 percent of the uncertainty implied by our
11 historical error. And this error actually grows over time,
12 because as you go out further and further in time you'll
13 see you're getting more uncertain about what you're
14 predicting.

15 And we do this because if someone were going to
16 ask us, "What's the price going to be in 2016?" it would be
17 unwise for us to just go, "Well, look at this. It says
18 it's going to be 3.80." It's better if we were to look at
19 it and go, "Well, the price is most likely going to be in a
20 range between a high of \$6 and on this floor a low of about
21 \$1.50." And we can say that with a lot more certainty that
22 here is a price range.

23 And this goes on with a lot of forecasts when you
24 see a -- they will forecast a certain amount. And say,
25 "We'll plus or minus a certain amount of error," and this

1 is what this is showing.

2 COMMISSIONER MCALLISTER: It would kind of be
3 nice actually to -- let's see, well this is basically from
4 here forward. But, you know, you're backcasting to all of
5 these -- to the previous forecasts. It kind of makes sense
6 that the further back you go the more off you are although
7 sort of in the middle, you've got a year there if you go
8 back a slide, what is it 2003 we were really off, right?

9 MR. DIXON: Yeah. Yeah, well these are not
10 actually the -- this is the year forecast and so which --

11 COMMISSIONER MCALLISTER: Of the 2003 IEPR
12 Forecast -- anyway, yeah.

13 MR. DIXON: Yeah, so this would be like the year
14 2003, this would be 2004.

15 COMMISSIONER MCALLISTER: Yeah, exactly. Exactly,
16 that's what I'm saying, but we were -- you know, things
17 took a u-turn and we were quite off shortly after that it
18 looks like.

19 MR. DIXON: Yeah.

20 COMMISSIONER MCALLISTER: So I guess it'd be kind
21 of nice to look at the actual prices that kind of overlay,
22 say if we started in 1998, sort of prediction. You know,
23 starting in year one and then finding some way to represent
24 the actual price and then the evolution of actual prices
25 during the ten years of that forecast.

1 And then that would -- because it seems to me
2 that if you just look at this table you're saying, "Boy,
3 the Energy Commission is just really way off." But there's
4 been a huge wrench in the works, which is fracking and
5 lower prices, which are kind of a, once in a generation if
6 that, sort of thing going on.

7 MR. DIXON: Exactly and it's also --

8 COMMISSIONER MCALLISTER: So I don't think, you
9 know, it's really fair to say, "Oh gosh, typically the
10 Energy Commission is off." Only 28 percent of our forecast
11 -- only 28 percent of variation is actually captured within
12 the bands of our forecast scenarios, because I think
13 there's -- for that historical period maybe that's the
14 case. But if we look back further I'm sure the variation
15 in price was nowhere near what it's been more recently. Or
16 at least I would imagine, maybe Katie (phonetic) wants to
17 take issue with that.

18 But every time is different and everything and
19 ever time is unique. But I think that the particular
20 technology evolution has been especially unique. So I
21 don't want to necessarily, you know, go conclude that boy
22 we've got to deal with 72 percent of complete unknowns
23 going forward.

24 CHAIRMAN WEISENMILLER: I guess the one thing I'd
25 like to know a little bit is whether there's systematic

1 bias. I know that EIA was challenged at one point as
2 always -- I think it was always over-forecasting. So but
3 if it's -- basically if you're saying this is the balance
4 and some of it's real high and some of it's real low, then
5 again that is part of the nature of forecasting.

6 On the other hand if it's gee, we always over
7 forecast or we always under forecast the price then that
8 certainly would make us a little more -- getting back to
9 the Standards it certainly would have implications on how
10 we treat the forecast in setting Standards.

11 COMMISSIONER MCALLISTER: That's a really great
12 point.

13 MR. DIXON: Yeah, these like I said are just the
14 absolutes. They're where we were both up above and below.
15 A previous version is we did it where we kind of took the
16 high and the low and used those and it really kind of
17 widened it more. I guess is what I'm saying.

18 COMMISSIONER MCALLISTER: I'm looking forward to
19 that future where we get negative pricing down there, cross
20 the zero boundary, that's really interesting.

21 MR. RYHNE: So my name is Ivan Rhyne and I manage
22 the Supply Analysis Office. And Anthony undertook this
23 project at my request. And some of the early work -- and
24 we've pared down for the sake of brevity.

25 So what's interesting Commissioner McAllister, is

1 that your request to sort of see that price evolution,
2 we've done that in some earlier.

3 But Chair Weisenmiller, your question about bias
4 -- what we saw is that there is not, at least given the
5 price forecast we have, and I'll pause for a moment and
6 sidebar -- these were all of the forecasts we could find
7 that the Energy Commission had generated. And so that sort
8 of fell within -- you know, in terms of going back and
9 digging through historical articles -- if we could find
10 more we would include those, certainly.

11 So we only have this sort of narrow window. I
12 say narrow, but we're really starting in 1998, relatively
13 narrow window of time in which to do that. So as
14 technology has changed, as markets have changed, we've been
15 off in some ways and can't see that. But what we do see is
16 there is a -- there does seem to be a slight sort of
17 imbalance between the high and the low-side forecast.

18 I think it's an excellent question and we'll go
19 back and look. We think we tend to come out just a little
20 bit on the low side in terms of that imbalance, but without
21 I think further investigation that's about as far as I'd be
22 willing to go. But there is just a little bit of an
23 imbalance there.

24 COMMISSIONER MCALLISTER: I certainly don't mean
25 to impugn the analysis. I think this is fantastic and

1 really the kind of thing that we absolutely ought to be
2 doing. And I want to make sure that we -- I mean, I think
3 that keeping this alive over time will be great.

4 MR. DIXON: So along with this I also looked at
5 what others are doing. And, of course, EIA does their own
6 outlook and confidence intervals for natural gas prices.
7 And theirs is incorporated in their short-term energy
8 outlook.

9 A few differences with theirs and ours is they
10 only cast out like 12 to 14 months where we're doing 13
11 plus years. They also, instead of using past forecasts,
12 they use New York Mercantile Exchange future prices to do
13 theirs. And they use much higher level statistical
14 analysis, so when comparing our two together though it was
15 very nice to see that we actually are somewhat close.

16 The dash lines are the staff's work and the solid
17 lines is EIA's and as you can see on the slide here they
18 are actually fairly close even though we did use vastly
19 different methods to predict our values.

20 And other than that, any other questions? No?

21 (No audible response.)

22 COMMISSIONER MCALLISTER: I think we're good,
23 thanks very much.

24 MS. RAITT: All right, if we're ready to go to
25 Public Comment we can do that. Does anyone in the room

1 have comments you'd like to make?

2 (No audible response.)

3 Anyone on WebEx?

4 (No audible response.)

5 Shall we open up the lines and just see if anyone
6 on the phone -- so if you're on the phone, please mute our
7 line and if you want to make a comment now is the time to
8 go ahead and make a comment.

9 (No audible response.)

10 Hearing none, I don't think we have any public
11 comments today.

12 COMMISSIONER MCALLISTER: Well, this is a very
13 elite group evidently.

14 Let's see, so I'm really happy to see the steps
15 forward here on the forecast and I think you're asking the
16 right questions and doing the analyses as necessary.

17 And certain aspects of the natural gas world will
18 have some chances in future workshops to -- we'll revisit
19 this one down the road a little bit too. But we'll also
20 have some future workshops to talk about issues that affect
21 little sectors, parts of the natural gas sector like with
22 transportation and more buildings end-use topics.

23 And I think that we should make sure the record
24 is reflective overall of those conversations as well. Or
25 that this analysis reflects those conversations as well.

1 But I'm happy with the Status Report and appreciate all the
2 work.

3 There's obviously a real -- a huge reservoir of
4 analytical work and resources behind the relatively pithy
5 update that we get in a forum like this. But it's very
6 much appreciated, all the work, so thanks to Ivan and the
7 team for keeping it moving.

8 Oh, hey Ivan, yeah go ahead.

9 MR. RYHNE: Sorry, a closing thought sort of
10 occurred to me. I wanted to emphasize that the work that
11 has been presented here -- one of the keys that I don't
12 know if it was emphasized earlier -- is that this is being
13 done in coordination with all of the other modeling groups.
14 And this is an extension of work that began last IEPR.

15 And I want to really extend my thanks both to the
16 Demand Office, Chris Kavalec, and his team.

17 For the first time the End-Use Natural Gas
18 Forecast, rather than being embedded and sort of hidden in
19 its own subchapter in the Electricity Demand Forecast, is
20 being featured in the Natural Gas Outlook Report and here
21 in our Natural Gas Workshop as well as the Transportation.

22 Natural Gas numbers will be embedded in the
23 Natural Gas Outlook although we will be discussing the
24 Transportation Natural Gas Demand in the Transportation
25 Workshop that'll be held in late June. But this is very

1 much a coordinated effort and we appreciate all of the
2 different teams who've put in.

3 And I think the interactive nature of this
4 process actually speaks to the fact that we have three
5 Commissioners on the dais for this very -- what would
6 otherwise seem a very narrow and focused workshop. But in
7 fact, we have a pretty broad spectrum of interests, because
8 we cover a broad spectrum of topics.

9 So my thanks to the teams and especially to the
10 Natural Gas team who put this together and also the IEPR
11 team who really made things much easier on us to get here
12 today, but thank you.

13 COMMISSIONER MCALLISTER: I definitely second
14 that and thanks a lot, Ivan. And actually it didn't really
15 -- thanks for tying up all the -- and emphasizing the
16 integration that's happening across staff. Because I think
17 -- and Chris's presence here today and the presentation I
18 think sort of emphasizes that. I didn't quite fully pick
19 up on that, so thanks for saying it explicitly.

20 And I agree that everything is related, right?
21 And particularly as we go forward it's going to all become
22 even more related and more granular geographically as well.
23 So I think, you know, we all need to have our thinking caps
24 on about how to do analyses that take all that future, that
25 expected evolution into account in all of our energy

1 systems, not just electricity.

2 So any closing comments?

3 (No audible response.)

4 All right, well I think we're adjourned. Thanks
5 very much everybody.

6 (Whereupon, at 2:33 p.m., the
7 workshop was adjourned)

8 --oOo--

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of June, 2015.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of June, 2015.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852