

DOCKETED

Docket Number:	15-IEPR-05
Project Title:	Energy Efficiency
TN #:	205561
Document Title:	Transcript of the July 6, 2015 IEPR Joint Agency Workshop on the Governor's Energy Efficiency Goals
Description:	July 6, 2015 Workshop Transcript
Filer:	Laura Laurent
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/30/2015 9:57:31 AM
Docketed Date:	7/30/2015

COMMITTEE HEARING
BEFORE THE
ENERGY RESOURCES CONSERVATION AND DEVELOPMENT
COMMISSION OF THE STATE OF CALIFORNIA

In the matter of,)
) Docket No. 15-IEPR-05
)
2015 Integrated Energy Policy)
Report (2015 IEPR))

**JOINT AGENCY WORKSHOP ON THE
GOVERNOR'S ENERGY EFFICIENCY GOALS**

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

MONDAY, JULY 6, 2015

10:07 A.M.

Reported By:
Peter Petty

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES

Commissioners Present

Andrew McAllister, Lead Commissioner, IEPR Committee

Robert Weisenmiller, Chair, CEC

CEC Staff Present

Heather Raitt, Manager, IEPR

Alana Mathews, Public Adviser

Shawn Pittard, Public Adviser's Office

Also Present on the Dais

Karen Edsen, California Independent System Operator
(CAISO)

Tom Doughty, California Independent System Operator
(CAISO)

Carla Peterman, California Public Utility Commission
(CPUC)

Cliff Rechtschaffen, Officer of the Governor

Linne K. Stout, Department of Community Services and
Development (DCSD)

Panelists Present

Steve Schiller, CEEIC

Peter Miller, NRDC

Jason Wimbley, CSD

Jonathan Changus, NCPA

Greg Wikler, Navigant Consulting

Obadiah Bartholomy, SMUD

Allison Smith, SoCalGas

APPEARANCES (CONT.)

Panelists Present (Cont.)

Talbot Gee, HARDI

Matthew Hargrove, California Business Properties
Association

Aaron Johnson, PG&E

Snuller Price, E3

Cynthia Mitchell, TURN Consultant

Susan Stratton, NEEA

Linda Derivi, ALACC

Ralph Prah, Prah & Associates (Via WebEx)

Public Present

Rick Counihan, Nest Labs

Melanie Gillette, EnerNOC

Lisa Schmidt, HEA.com

Kevin Messner, Association of Home Appliance
Manufacturers (AHAM)

Anna Solorio, Energy Efficiency Council

Peter Schwartz, LBNL

Karen Herter, Herter Energy Research Solutions

Joseph Oldham, Local Governments Commission

Dian Grueneich, Stanford University

Jodi London, Local Government Sustainable Energy
Coalition

INDEX

	Page
Introduction	
Heather Raitt, IEPR Program Manager	6
Opening Comments	
Commissioner Andrew McAllister, Lead Commissioner for IEPR	7
Cliff Rechtschaffen, Senior Advisor to the Governor	9
Chair Robert B. Weisenmiller, CEC	17
Commissioner Carla Peterman, CPUC	18
Karen Edson, Vice President Policy and Client Services, CAISO	20
Linne K. Stout, Director, DCSD	21
 Panel: Accessing the potential for an EE Resource Standard for statewide electricity and natural gas sales	
Steve Schiller, CEEIC	23
Peter Miller, NRDC	30
Jason Wimbley, CSD	33
Jonathan Changus, NCPA	37
Greg Wikler, Navigant Consulting	42
 Public Comment	95
 Panel: Options for Heating Fuels	
Obadiah Bartholomy, SMUD	108
Allison Smith, SoCalGas	116
Peter Miller, NRDC	124
 Panel: Code and Existing Buildings	
Talbot Gee, CEO, HARDI	141
Matthew Hargrove, California Business Properties Association	148
Aaron Johnson, PG&E	154
Snuller Price, E3	163
Cynthia Mitchell, TURN Consultant	168

INDEX

	Page
Panel: Market Transformation Strategies	
Talbot Gee, CEO, HARDI	209
Susan Stratton, Executive Director, NEEA	219
Linda Derivi, AIACC	238
Ralph Prah1, Prah1 & Associates	246
Public Comments	275
Adjournment	297
Reporter's Certificate	298
Transcriber's Certificate	299

1

P R O C E E D I N G S

1
2 JULY 6, 2015

10:07 A.M.

3 MS. RAITT: Good morning. Welcome to today's
4 Joint Agency Workshop on the Governor's Energy
5 Efficiency Goals.

6 I'm Heather Raitt, the Program Manager for the
7 IEPR. I'll go over a few housekeeping items. Restrooms
8 are in the atrium. The snack room is on the second
9 floor.

10 If there's an emergency and we need to evacuate
11 the building, please follow staff to Roosevelt Park.
12 It's diagonal to the building.

13 Today's workshop is being broadcast through our
14 WebEx conferencing system and parties should be aware
15 that you are being recorded.

16 We'll post an audio recording on the Energy
17 Commission's website in a few days and a written
18 transcript in about a month.

19 At the end of the day we'll have an opportunity
20 for public comments. We're asking parties to limit
21 their comments to three minutes. For those in the room,
22 who would like to make comments, please fill out a blue
23 card and give it to me. When it's your turn to speak,
24 please come up to the center podium and speak into the
25 microphone, and identify yourself. It's also helpful to

1 give the court reporter your business card.

2 For WebEx participants, you can use the chat
3 function to tell our WebEx coordinator that you'd like
4 to make a comment during the public comment period.
5 We'll either relay your comment or open line at the
6 appropriate time.

7 For phone-in participants, we'll hear from you
8 after we take the WebEx and in-person comments.

9 If you haven't already, please sign in at the
10 entrance to the hearing room, where there are materials
11 for the workshop. Written comments are welcome and due
12 on July 20th. And the notice provides instructions for
13 how to submit comments.

14 And with that, I'll turn it over to Commissioner
15 McAllister.

16 COMMISSIONER MC ALLISTER: Great.

17 MS. RAITT: Also, just a note, we have the
18 Public Adviser here to help with blue cards and there's
19 a table in the back for that. Thank you.

20 COMMISSIONER MC ALLISTER: Great. So, Alana's
21 headed around that way.

22 Thank you all for coming. My name is Andrew
23 McAllister. I'm the Lead Commissioner on Energy
24 Efficiency, which we're going to talk about a lot today.
25 I'm really looking forward to today.

1 And also, by chance, also the Lead Commissioner
2 on the IEPR, the team for which is led for Heather and
3 has put this workshop together today.

4 Before I make any detailed comments, I want to
5 really just thank you all for coming. A lot of familiar
6 faces. Lots of knowledge in this room, both in the
7 room, in the audience, and on the panels and at the dais
8 here. So, I want to thank everyone who came from the
9 various agencies. I won't do that specifically right
10 now.

11 In just a minute, want to get more into the
12 nitty gritty here. But this is not just an IEPR
13 workshop. This is, actually, first and foremost a
14 workshop about Governor Brown's goal for doubling the
15 energy efficiency of our existing building stock. We're
16 going to talk about what that means and we're going to
17 talk about the bigger context.

18 And to do that, we have Cliff Rechtschaffen,
19 who's a really core part of the Governor's energy team,
20 and drives a lot of these discussions and helps us
21 marshal our -- helps us get organized and marshal our
22 thoughts in a constructive way across the agencies, and
23 really making sure we're all coordinated under the
24 Governor's vision.

25 And I want to -- we're going to present a couple

1 of graphics here that Cliff can walk us through,
2 briefly. But I wanted to just thank Governor Brown for
3 his vision and leadership. It really helps to have the
4 backup from the highest levels to do important things,
5 which is what we're trying to do here in California.
6 And it's just critical to have his support, and his
7 vision, and leadership on this. And that comes
8 channeled right directly to Cliff.

9 So, thanks Cliff for being here.

10 MR. RECHTSCHAFFEN: Thank you very much. As
11 Andrew said, this workshop's part of a much larger
12 effort that's represented in the graphic here. We have
13 a lot to do. We're keeping you very busy. This is an
14 exciting week, we have workshops -- three workshops this
15 week.

16 This is part of our effort, as articulated by
17 Governor Brown, to reduce greenhouse gas emissions to 40
18 percent below 1990 levels by 2030. That's part of an
19 Executive Order that was issued in April.

20 In the State of the State, anticipating that,
21 the Governor set out goals for five large areas,
22 including renewable electricity, petroleum reduction,
23 energy efficiency, making our natural land syncs and
24 reducing short-lift climate pollutants.

25 And along with that, we have a far-reaching plan

1 for making our State safer to deal with the impacts of
2 climate change, the Safeguarding California Plan.
3 Heather.

4 We're guided by some very broad principles here,
5 transforming to a clean energy economy that makes sense
6 environmentally, and also economically. And we're doing
7 that. We're achieving our climate goals, while our
8 economy's growing fast and outpacing growth in the rest
9 of the nation. We're also integrating our drought
10 efforts to save water and supporting our vulnerable
11 communities.

12 This just gives you a sense of all we have
13 going. Right now, to implement the goals in both the
14 State of the State and in the Executive Order we're
15 going to need a lot. We're going to need to do a lot.
16 There's a lot of interest and activity on the
17 legislative front to implement the Governor's goals and
18 to pursue other priority areas.

19 The Air Resources Board is going to embark on an
20 updated scoping plan process, later this fall, that will
21 try to bring together a lot of these efforts.

22 And then you can see, beneath that, some of the
23 proceedings that we have going, which is why you really,
24 really will be very, very busy. And there's proceedings
25 on energy efficiency that many of you have participated

1 under AB758, that's been chaired by Commissioner
2 McAllister.

3 We're going to launch, in a few weeks, the next
4 three-year investment plan for cap and trade revenues.
5 And then there are also ongoing efforts and stakeholder
6 efforts to deal with healthy soils, short-lift climate
7 pollutants, healthy forests, transportation, and so
8 forth. And this is going to require unprecedented
9 collaboration among local governments, state
10 governments, with the public and private sector.

11 Again, there's going to be a workshop on the
12 Governor's transportation goals on Wednesday, at CalEPA
13 and there's going to be one on the Governor's renewable
14 energy goals on Thursday. And if anyone wants more
15 information, any of us on the dais going provide it.
16 Those are posted, I think they're on all, the CEC, the
17 ARB, and the PUC's websites.

18 So, that's situating this in the larger context
19 of what we're doing. Just to add one editorial comment,
20 this is really an unprecedented opportunity we have.
21 We've rarely, if ever, had so much momentum, interest
22 and focus on improving energy efficiency in our building
23 stock. We now recognize how important it is. Governor
24 Brown has elevated that as a central goal.

25 It's very interesting to us, in the

1 administration, because in some ways it's the least
2 controversial of our goals. How could anyone be against
3 waste, not wasting energy efficiency? But for many
4 reasons, that a lot of you are familiar with, there's
5 lots of barriers to getting there. There's no
6 technological silver bullet that's going to get there.
7 So, it may be the hardest goal to achieve and that's why
8 we need all of your imagination, your efforts. Don't
9 worry if something sounds a little outlandish or outside
10 of the box, we need to have that kind of thinking, those
11 kinds of solutions to double the savings we're getting
12 from our existing building stock.

13 So, all ideas are welcome and we look forward to
14 the discussion today.

15 COMMISSIONER MC ALLISTER: Thank you very much,
16 Cliff. I hope you can stick around for all the day.
17 That would be terrific.

18 So actually, Heather, could you go back to that
19 last slide just for a second? Sorry.

20 So, as Cliff said, just to contextualize this,
21 in the upper right there on this slide is the AB758
22 energy efficiency plan, the action plan. There's a
23 fairly complete draft on the street right now, as of a
24 few months ago, actually. And we're actively updating
25 that and hope to get it adopted sometime this fall.

1 But the ideas in there, the big ideas aren't
2 going to change much. You know, the details will change
3 a little bit as we got quite a few comments from the
4 public and stakeholders.

5 So, the coincidence, really here, is that we've
6 been working hard on the 758 action plan, which is from
7 legislation a few years ago. And the Governor's goal
8 really does sort of dovetail very, very well with that
9 plan. It's maybe put a little bit of steroids into the
10 discussion here because -- or adrenaline, you know, pick
11 your metaphor.

12 But we've got a lot of groundwork laid is the
13 point and some momentum going forward on a number of
14 energy efficiency fronts that I think are quite -- that
15 have the potential to be quite transformative. And what
16 we want to talk about is how we can ensure that they're
17 transformative.

18 And the topics on the agenda today, I think are
19 pretty critical and certainly relevant for the
20 legislative conversation that's going on right now. So,
21 very much looking forward to that.

22 Let's see, I guess I want to go on, now, to a
23 graph just to frame this discussion a little bit more.
24 So, this is a graph that sort of tries to help you
25 visualize the role of energy efficiency. Or this

1 savings goal sort of specifically.

2 So, the orange wedge is sort of what we are
3 already trying to do. It's committed energy efficiency.

4 So, let's see, let me just make sure that I'm
5 going to -- I'm going to explain this correctly. This
6 is something very similar to the graphic that's in the
7 758 action plan.

8 So, I'm sorry, the committed actually don't even
9 show here. The committed energy savings are things
10 we've already done, and they're codes and standards that
11 exist, they're appliance efficiency standards that are
12 already in enforcement.

13 Then the incremental savings under development
14 are, really, the additional achievable energy efficiency
15 that's part of the forecast discussion and is an
16 additional sort of wedge. Okay, we think -- we're going
17 to go after this and we think we're going to get energy
18 efficiency going forward. So, that's based on the 2014,
19 the 2013 and 2014 forecasts. So, there's an AAEE wedge
20 for those of you who are initiated in that process.

21 So, the blue is the doubling of that. And
22 that's what we really -- those are the incremental,
23 additional, you know, doubling energy efficiency. And
24 that's where we really need to go deep. We need to get
25 deeper savings, we need to get more broad savings across

1 the economy, across the built environment.

2 And overall, if we get both, what we're planning
3 for already, which is the orange and the doubling of
4 that, which much of which is going to depend on the
5 success of the strategies in the action plan, and what
6 we talk about today and beyond, then we're also going to
7 get that blue.

8 And that will constitute, essentially, a 17 or
9 so percent drop in energy use versus what would have
10 happened, what we think would have happened.

11 And I'll just point out that California already
12 has -- you know, 17 percent may seem a little sort of
13 not big and round, but California already has among the
14 most efficient economies in the country. We've been
15 doing this for a long, long time. There's not a whole
16 lot of low-hanging fruit in the traditional sense.

17 And, you know, reversing the absolute increase
18 in energy consumption would be huge, okay. So, this
19 represents a 17 percent drop in what would have happened
20 and a slight drop in absolute energy consumption in the
21 State, of a couple percent.

22 So, that would be massive. I mean, given the
23 economy will grow, the population will grow between now
24 and 2030, to have absolute consumption drop would be a
25 quite important thing for California to do, and it would

1 show huge leadership on our part.

2 And we need to do that for any number of reasons
3 that I won't go into now, but that is really important.
4 It's part of the overall integrated planning process
5 that we need as we de-carbonize our electric sector, as
6 we try to electrify where we can to reduce area
7 emissions from combustion. And as we, you know, keep
8 our air quality goals in mind and as we really,
9 simultaneously, work on transportation and all the other
10 areas.

11 So, this is a really key strategy for making
12 sure that we optimize our electricity grid, and our
13 energy systems generally, so that we can minimize the
14 investment in that infrastructure and move the
15 investment where it needs to go for the clean energy
16 economy.

17 So with that, I wanted to just highlight that.
18 You know, I encourage all of you to have a look at the
19 AB758 action plan. That's sort of a key input into this
20 discussion. And I'm really looking forward to the
21 conversation today.

22 So with that, I'll wrap up. And I wanted to
23 permit the other folks on the dais here to say a couple
24 of introductory comments.

25 I want to really thank Linne Stout, Karen Edsen,

1 Commissioner Carla Peterman, from the PUC, Chair
2 Weisenmiller, and Cliff, again, for being here with us.
3 And I want to give them some opportunity to frame the
4 discussion from their various perspectives.

5 So, I'll start with Chair Weisenmiller.

6 CHAIR WEISENMILLER: Thanks. I want to thank
7 everyone for being here today. I think it's a great
8 opportunity. I think, certainly, the Governor has
9 framed the issue as greenhouse gas emissions.
10 Greenhouse gas emission reductions is not how much
11 renewables, it's not how many billions we spend on
12 energy efficiency, it's results.

13 And I think looking -- well, it's time to really
14 do sort of a zero-based thinking on our efficiency
15 programs and this is a good opportunity. We're really
16 going to hit the mark.

17 I mean, many of us have been struggling in
18 energy efficiency since the '70s, in terms of what to do
19 about existing buildings. And, you know, frankly, we've
20 not moved that needle very much. And we're talking
21 about really huge potential. We're talking about an
22 area where because of the rented housing issues, and the
23 unique challenges there, you know, many of our low-
24 income citizens are in rented housing or rented space.
25 And so, we really need to figure out how to move the

1 needle there.

2 And I think 758 is a start, but I think it's
3 time to get really serious. So, thanks.

4 COMMISSIONER MC ALLISTER: Thanks, Chair
5 Weisenmiller.

6 Commissioner Peterman.

7 CPUC COMMISSIONER PETERMAN: Thank you,
8 Commissioner McAllister. And thank you, Energy
9 Commission, for hosting this workshop as a part of the
10 IEPR series. It's a pleasure to be here today, with
11 everyone on the dais.

12 I think the fact that you have so many different
13 agencies represented here really just shows how energy
14 efficiency is critical to the mission of all of our
15 agencies.

16 And for those of us who follow the Public
17 Utilities Commission work in this area, there's a lot
18 going on.

19 And I want to say, first, you know, thanks
20 largely to the folks in this room, we have been
21 successful in reaching our energy efficiency goals to
22 date.

23 When you look at the results from the 2010-2012
24 funding period, we exceeded our targets and have reduced
25 greenhouse gases enough to be equivalent to taking a

1 million cars off the road. And so, there's a lot to be
2 proud of.

3 But I think, collectively, we do have the
4 question; is it enough? If we're trying to reach the
5 Governor's goals, is it a matter of scaling the programs
6 we have or do we need some fundamental changes to our
7 energy efficiency delivery.

8 At the Commission, we're currently working hard
9 to institute the rolling portfolios. And the rolling
10 portfolios allow us to move away from the stop and start
11 funding of energy efficiency, and some of that
12 uncertainty that all participants face, to really focus
13 on implementing programs that work, being able to pull
14 back programs that aren't successful, scale up other
15 ones. You know, sooner than a three-year period.

16 So, I think that's really going to help a better
17 implementation of our current programs. But again, even
18 though we have that funding is it being directed in the
19 right manner is an overall question.

20 When the Governor's goals came out, you know, as
21 a Commission we started looking at proceeding to say,
22 you know, how do we start teeing up these questions for
23 a potentially greater programmatic change.

24 We're looking at these issues, some of them in
25 our phase three. But I think the timing is right, now,

1 to hear from all stakeholders since we have so many
2 interesting legislative proposals before us.

3 So I'm looking forward, today, to hearing your
4 feedback on all of the topics that are part of the
5 agenda. They're not specifically scoped into Commission
6 proceedings, and so looking forward to the high level
7 discussion.

8 I'll encourage you to not use this opportunity
9 to litigate specific issues before the Commission
10 because they will be used by all the parties there.

11 Instead, use this as an opportunity to talk to
12 all of us about, collectively, what you think we need to
13 be doing. Thank you.

14 COMMISSIONER MC ALLISTER: So, Karen Edsen, from
15 the ISO.

16 MS. EDSSEN: Thank you, Commissioner McAllister.
17 I, too, am pleased to be here on behalf of the
18 California Independent System Operator. I'm really here
19 to listen to all of you, on behalf of our organization.

20 The way that energy efficiency is brought into
21 service directly affects our operations by lowering the
22 demand that we're serving.

23 There are new technologies that may become
24 interactive with us and with demand in ways that are
25 not, today, foreseen. So, this conversation is really

1 critically important to us.

2 And, of course, our optimization systems for
3 dispatching are really about efficiency, to make sure
4 that we're calling on the most efficient resources at
5 that wholesale level to serve load. So, this is another
6 component of that, that is much deeper into the system.

7 I look forward to today's conversation.

8 COMMISSIONER MC ALLISTER: And Linne Stout, from
9 the Department of Community Services and Development.
10 Thanks for being here.

11 MS. STOUT: Good morning. I appreciate the
12 opportunity to participate in this workshop. And I
13 wanted to just provide a little bit of brief comments
14 about the Department of Community Services and
15 Development.

16 The mission of the department is to reduce
17 poverty by leading the development and coordination of
18 effective and innovative programs for low-income
19 Californians. Working with a statewide network of
20 nonprofit and local government, community-based
21 organization, the department's primary objective is to
22 provide services and support to help low-income people
23 achieve and maintain self-sufficiency.

24 These basic services include employment support,
25 such as job training, and childcare, and basic support

1 such as food, shelter, and utility assistance, which may
2 include emergency assistance to prevent home energy
3 shutoff, and emergency home heating and cooling repair.

4 And, of course, weatherization services improve
5 energy efficiency, helping to reduce energy costs, while
6 improving health and safety.

7 Because of the very limited resources that
8 families have, improving the energy efficiency of their
9 homes helps them to meet their other basic needs.

10 With the funding that the department received
11 from the Greenhouse Gas Reduction Fund, we're able to
12 provide additional benefits to income-qualified
13 households, living in disadvantaged communities, by
14 installing solar PV and solar water heating, in addition
15 to the other energy efficiency measures.

16 And we're also using the funding to provide
17 services within the large, multi-family buildings.

18 Along with the Governor's commitment to
19 alleviate the conditions of poverty by increasing the
20 minimum wage and creating a State earned income tax
21 credit, investing in disadvantaged communities through
22 energy efficiency will provide an opportunity for
23 families to live healthier lives and have the additional
24 resources to meet their basic needs.

25 And again, I appreciate the opportunity.

1 COMMISSIONER MC ALLISTER: Absolutely. In most
2 other states, the state energy office, which would be
3 the CEC, actually administers those weatherization
4 assistance funds that come from the Federal government.
5 But in California's case, it goes over to CSD. So, we
6 actually coordinate quite a bit in trying to fend those
7 funds federally. And, therefore, work together with
8 CSD, but I think we could even deepen that relationship.
9 So, it's great to have you here on the dais. Thank you
10 very much.

11 So with that, so we've already -- I think we're
12 already about ten minutes behind, so we'll try to catch
13 up. Lots of pressure to the panel.

14 But let's move on to panel one. Really looking
15 forward to the discussion. Thank you very much.

16 So, Heather or directly to Steve, I guess.

17 MS. RAITT: So, yeah, Steve Schiller is our
18 first speaker, from California Energy Efficiency
19 Industry Council.

20 MR. SCHILLER: Great, thank you very much. I
21 want to thank the Energy Commission and those on the
22 dais for the opportunity to speak here.

23 So, I want to point out that we're in the room
24 that was named for the original visionary of energy
25 efficiency. And so, it's a great honor to be here and

1 talking in the state where it has efficiencies first, in
2 the loading order.

3 However, for all the words that we're saying and
4 will be saying today about the importance of efficiency,
5 really, let's face it, historically efficiency has been
6 a footnote in the noise. It's not really been taken
7 seriously by resource planners.

8 The way I look at it is efficiency is the first
9 mentioned, but it's also the first forgotten.

10 When I refinanced my home, the appraiser was
11 very interested in the PV system on my roof. But when I
12 asked her if she wanted to look at my efficient heating
13 system, I might as well have asked her if she wanted to
14 look at my stamp collection.

15 You know, efficiency's invisible. We need the
16 PV on the roof for efficiency for consumers, but we also
17 need this form of hard commitment to make it truly
18 visible for the energy and air regulators, the resource
19 planners, for the administrators of the efficiency
20 programs and, really, for the market.

21 But things are changing. Efficiency is moving
22 from the noise. As Cliff mentioned, the Governor wants
23 a doubling of efficiency. A lot of money is being
24 invested. New efficiency companies are popping up every
25 day. And, importantly, it's something that ever

1 consumer can take advantage of. Including, as has
2 already been discussed today, our low-income energy
3 consumers.

4 Also, while hidden, the number of efficiency
5 workers seems to exceed the number of people working in
6 any other energy field in our State. And they can find
7 us in every county and in every legislative district
8 here, in this State, and in the country.

9 So now I want to turn to the questions put
10 before the panel, and my initial comments feed into
11 that. Making efficiency a priority, taking it beyond
12 first-mentioned and first-forgotten through policies,
13 regulations, and programs, and data.

14 So, the first question was about targets.
15 Energy efficiency resource standards, I think, provide
16 the spark, the drive, the steroids, or adrenaline, as
17 the Commissioner mentioned. The punch to do all we can
18 do, cost effectively, for wasting less energy.

19 The California Energy Efficiency Industry
20 Council is the sponsor of a bill in the Legislature,
21 AB1330, authored by Assemblymember Bloom. It sets a
22 reasonable, minimal level of efficiency to be achieved
23 throughout the State by both public- and investor-owned
24 utilities.

25 Among other benefits, it puts into code the

1 Governor's, the Administration, and the Legislature's
2 leadership's objective of doubling efficiency in our
3 building.

4 In terms of goal setting, AB1330 is based on the
5 performance and potential of our State, as has been
6 documented in a number of studies, public studies, as
7 well as looking at the performance in other states.

8 With respect to the potential studies, I believe
9 Greg's going to be talking about this more in his
10 presentation. What we're looking to do is to move the
11 achievable potential much closer to the economic
12 potential. There's a huge gap between what's considered
13 economic and what's considered achievable.

14 In part because we're working on potential
15 studies, and consuming current policies, and practices,
16 and historic levels of consumer demand we can get closer
17 to that. And, actually, we have to kind of get closer
18 to meet our State goals.

19 We're currently achieving about one percent
20 electricity savings from efficiency and about half of
21 that for natural gas.

22 AB1330 moves this up to a floor of two percent
23 for electricity savings per year and one percent of
24 natural gas savings by 2025.

25 About half the states of our country also have

1 an EERS, Efficiency Resource Standard. And, actually, a
2 few states are already meeting the AB1330 target.

3 I guess a question to you all is, if
4 Massachusetts can do this today, why cannot California
5 do it within ten years?

6 And AB1330 does not tell the market, the
7 utilities or agencies how they have to do this. It
8 provides flexibility for doing what works best in each
9 market, each sector, each service territory, with
10 oversight by the PUC and the Energy Commission, working
11 collaboratively in a public process.

12 One area, though, that this bill does set some
13 direction is give a priority to our disadvantaged
14 communities to ensure they are not left out of the
15 opportunities that come from these programs.

16 So, now turning to the themes on non-utility
17 customer, I have four items I want to point out and we
18 can talk about those during more in discussion.

19 First of all, the distinction between utilities
20 and non-utilities is going to be changing. We had a
21 change in the utility world with the Grid 2.0. And
22 there's an essential role for the utilities in managing
23 the grid. That clearly puts them in the middle of
24 energy efficiency, but not as a sole owner of the
25 market.

1 The utilities should value savings and procure
2 it like they would any other resource in terms of what
3 technologies and market approaches rise to the top and
4 fall. This will be based on market forces.

5 Second, there's a supply and demand element to
6 efficiency. The supply push of energy efficiency
7 solutions and the demand or pull of consumers for such
8 solutions. The demand/push is very importantly
9 addressed, at least in part, in the AB758 report and
10 plans that the Commissioner mentioned.

11 And as I'm sure Jonathan and I know, we've
12 discussed this and we'd point out, voluntary programs
13 are voluntary. And so, therefore, we need to drive
14 demand.

15 Thirdly, a consumer perspective, a customer side
16 of the meter solution needs to be looked at for these
17 solutions. Whereas the regulators might differentiate
18 between DG and efficiency, or storage and demand
19 response, from a consumer point of view, this is really
20 looking at packaging it together.

21 And fourth, the efficiency industry has always
22 had a performance and financing element. But for large-
23 based solutions, in particular, I think it will become
24 more important as we can do better measurement and
25 verification, and have better data.

1 Now, in terms of the analytical requirements,
2 which is the last question, I have five areas that I
3 want to point out on that. And again, we can talk about
4 those more, as there might be questions for it.

5 One is around saturation studies. We need more
6 saturation studies to evaluate what's actually being
7 consumed by the clients. Some of these studies in the
8 State are 10, 20 years old. And for some sectors, like
9 the industrial, they've never happened.

10 We also need consistent reporting of the
11 efficiency impacts, consistent reporting between all the
12 parts of the wedges that the Commissioner mentioned.
13 Including, you know, consistent reporting for IOUs and
14 POUs.

15 We need an increase in access to -- an increase
16 to access and more confidence in the savings data. You
17 know, this is an important area and there's a number of
18 solutions we can do for that.

19 We need updated avoided costs. We have changing
20 policies and the avoided cost profiles and the cost
21 definitions we use need some improvement. At least
22 additional data. And we need more potential study data
23 to really look at what we can do with greater market
24 penetration and with the advanced policies and programs
25 that our Legislature and our Governor are doing.

1 So with that I want to say, you know, we have a
2 Governor, a Legislature, and agencies that signal
3 California's efficiency leadership, and an energy-
4 efficiency resource supports this by providing the end
5 of efficiency is the first mentioned and first
6 forgotten. It provides the floor, the spark, the push,
7 I'll start saying adrenaline, for innovation in
8 government utility and private sector solutions.

9 We know we need to do this and we can. Thank
10 you very much.

11 COMMISSIONER MC ALLISTER: Thanks very much,
12 Steve. We're going to hold the questions until
13 everybody's had a chance to speak and then we'll sock it
14 to you.

15 MR. MILLER: Thank you for the opportunity to
16 speak here, today. I really appreciate the focus on
17 energy efficiency. I think the comments to the effect
18 that it's widely supported, but maybe the most difficult
19 to achieve is well taken. It's really an area in which
20 it's going to take a collective effort and it's those
21 thousand pennies on the ground, or whatever metaphor. I
22 guess we're going to be working through a lot of
23 metaphors here, today. But this kind of collective
24 effort is really essential to it.

25 So, I don't have a long statement, but I can

1 just offer a couple of talking points this morning to
2 start us off before the discussion.

3 We very much support setting a goal. We think
4 the Governor's taken the leadership on setting a broad
5 goal. We think detailing that and putting it in
6 legislation could be a useful way to focus efforts on
7 policies and programs that are needed, that are not
8 currently in place. They're needed to help us move
9 forward and achieve our goals.

10 As well as focusing on issues that we have with
11 current policies that need to be fixed or changed.

12 Which goes to say that setting the goal, alone,
13 is not sufficient. It's necessary, but it's not a
14 sufficient condition. We're going to have a lot of work
15 to do over the next 15 years to getting to that 2030
16 target.

17 And efficiency is an essential part of getting
18 to our overall State environmental and economic goals.
19 The reduction from the doubling, that was shown this
20 morning, I think provides a good frame. By 2030, we'd
21 be going beyond the basic flat per capita consumption,
22 that we've seen over the past decades, to a substantial
23 reduction. Something like a 20 percent reduction in per
24 capita energy consumption by 2030. And that's the kind
25 of aggressive, ambitious goals that we'll need to

1 achieve the environmental benefits and economic benefits
2 that we're focused on.

3 One of the key aspects of getting to achieve
4 that goal will be improvement in terms of the statewide
5 coordination and collaboration.

6 Right now, there's a fair bit of siloing with
7 different agency efforts at the PUC, the CEC, the CSD,
8 ISO. And I think we need to increase coordination and
9 collaboration at the statewide level. Particularly for
10 energy efficiency, for example, we need to move beyond
11 different savings estimates for different programs.
12 There should be a collective effort so that programs can
13 cross agency boundaries and achieve greater savings
14 levels because of the coordination.

15 Another area in which we've seen some siloing is
16 POU and -- public utilities and private utilities. So,
17 to the extent that we can coordinate programs within the
18 State across agency boundaries, we'll be more
19 successful.

20 That extends to beyond State boundaries. There
21 are our neighbors to the north and to the east have
22 programs that are expanding, in part because of the
23 Federal program, the Clean Power Program. And we should
24 take advantage of that and work with our neighbors to
25 have regional programs that will certainly increase our

1 effectiveness.

2 We're in support of the bill, AB1330, that the
3 Energy Efficiency Industry Council has sponsored. We've
4 offered a couple of proposed amendments. We think, in
5 particular, focusing on gross savings, if you will,
6 more, you know, what the overall impact on energy
7 consumption is, and less on who's responsible for it is
8 going to be helpful.

9 Really, we're all in this together and if we
10 start -- if we have an overwhelming focus on who gets
11 how much credit, we're going to dilute our
12 effectiveness. So, the important goal is that we
13 achieve this together. We rise together or we sink
14 together and that's where the focus needs to be.

15 So with that, I look forward to the
16 conversation, the discussion, but I'll pass it on to my
17 colleague to the right.

18 COMMISSIONER MC ALLISTER: Thank you.

19 Next we'll hear from Jason Wimbley.

20 MR. WIMBLEY: Yes. Well, thank you for the
21 opportunity to participate in this workshop and weigh in
22 on the Governor's goals for achieving energy efficiency
23 and some of the State's environmental goals related to
24 GHG reductions.

25 My points are going to be very direct and brief.

1 I think that the statewide targeting for California
2 electric and gas electric activities will definitely an
3 important foundation for achieving all forms of cost-
4 effective energy efficiency, and will certainly spur
5 certain market and program design transformations within
6 both utility and non-utility programs.

7 The emphasis for programs to pursue deeper
8 energy savings and pursue a greater energy savings
9 returns from investments is pivotal.

10 I see cost effectiveness standards evolving to
11 more in line with program designs oriented to achieving
12 all forms of cost effective energy efficiency per
13 investment.

14 Also, there's going to be a need to integrate --
15 within the integrated resource planning, there will be
16 an additional value placed on non-utility energy
17 programs and it's going to be essential, at the State
18 level, that these programs that are often administered
19 by separate departments are combined and leveraged to
20 optimize energy efficiency benefits to the communities
21 that they aim to target and serve.

22 In addition, we would encourage utilities to
23 build stronger connection and methods to effectively
24 leverage the contributions these program have to offer
25 in terms of energy efficiency and other beneficial

1 resources.

2 This program integration will be particularly
3 valuable in overcoming various housing and socioeconomic
4 challenges within the multi-family and low-income
5 program sector, as examples.

6 Also, there's siloing. You know, we, as a
7 department, we administer a variety of different energy
8 efficiency programs that target low-income communities.
9 And most recently, we have utilized the greenhouse gas
10 reduction funds to spearhead energy efficiency in solar
11 renewable projects focused in the disadvantaged
12 community areas.

13 But I can say that it's been difficult to assess
14 what your targets are, when you really don't know what's
15 been done already. We know that California is rich and
16 plentiful in energy efficiency resources, and we know
17 that those energy efficiency investments have produced
18 some benefit to the State, and also to the low-income
19 communities that we're targeting.

20 But without having access to real information,
21 it's really hard to assess what level of work and
22 saturation has been already accomplished and, really,
23 what energy efficiency opportunities remain that we
24 should target.

25 In addition, encouraging more effective

1 targeting and delivery of building upgrade services I
2 think is going to be an important strategy that we
3 should embrace.

4 Many programs, such as low-income
5 weatherization, for example, utilize prescriptive
6 measures that's like a one-size-fits-all approach to
7 addressing the energy efficiency needs of low-income
8 families. But realizing that with the emergence of
9 technology, with smart meters, the smart grid decision,
10 and smart metering we have a wealth of data that's
11 available to us, that we could utilize to perform
12 certain analytics to better assess how energy's being
13 consumed within these homes. And we can target our
14 investments more appropriately and more effectively.

15 But I think the current approach that we're
16 utilizing misses out on opportunities because, again,
17 it's kind of a one-size-fits-all, and we often ignore
18 some of the deeper energy efficiency opportunities that
19 are there.

20 In addition, I think that in order for us to
21 accomplish our work and contribute to this overarching
22 goal there has to be a combining of resources at the
23 very ground level.

24 Currently, you know, there are different service
25 delivery mechanisms that guide the implementation of

1 these individual programs. And in order for a consumer
2 to access these programs, they have to navigate many
3 channels and many pathways to gain access to these
4 programs.

5 In the context of low income, this can be
6 significantly burdensome when in order to access these
7 programs, there's a huge overhead that the clients have
8 to expand to access these resources.

9 So, there needs to be thoughts given to how we
10 can improve the current delivery systems that we're
11 utilizing to make them more effective, to avoid
12 redundancy, and have them more specifically targeted to
13 certain objections and achieving maximum and deeper
14 energy savings within existing buildings.

15 COMMISSIONER MC ALLISTER: Thank you.

16 Jonathan Changus.

17 MR. CHANGUS: Great, thank you. Yes, Jonathan
18 Changus with the Northern California Power Agency. And
19 I have a lot of positive things I want to say and I'm in
20 agreement with both Steven and Peter, who have been
21 working closely on a number of these issues. But I want
22 to get the slightly negative part out of the way, first.

23 It has to do with how we go about the approach
24 we take to get to a statewide doubling of energy
25 efficiency in existing buildings.

1 And I think we see a resource standard,
2 especially when it's kind of modeled off of the RPS,
3 which is solely focused really on utilities. And this
4 is the fact that we do have a siloed approach. There
5 are a lot of areas the State is heavily involved across
6 multiple agencies in helping us achieve greater
7 efficiency. And that we agree that there needs to be
8 increased effort to pursue the energy savings that are
9 still locked up in existing buildings.

10 But I think we're concerned that something that
11 is really focused on just the utility programs, and this
12 is the larger spectrum of the E programs, and we would
13 support something that has more of a truly statewide
14 approach to try and bring in the savings to try and
15 capture how that works.

16 Now, I was asked, in particular, to talk to the
17 non-utility programs' challenges and opportunities. And
18 I think whether it's a utility program or a non-utility
19 program, we need to start with kind of a common focus,
20 which is on what is going to motivate the customer to
21 make an investment in their existing building?

22 And one of the strengths, I think, of the AB758
23 action plan is that it starts off with not only, I
24 think, a comprehensive review of the existing programs
25 that the State is offering, as well as utility options,

1 but it also captures and characterizes some of the
2 challenges unique to different customer segments,
3 single-family, multi-family, small commercial, large
4 commercial, industrial and ag.

5 And we really, while we're trying to adopt a
6 statewide target, we're going to need to have more
7 targeted approaches that recognizes the needs and
8 distinctions between those customers. I guess, kind of
9 along the way that what we discovered with the drought
10 and water conservation targets, and expected reductions,
11 is that it wasn't a one-size-fits-all across the State.
12 It's that we had to geographically recognize that there
13 are some differences.

14 And I think there is a significant similarity in
15 EE, as well, in the different customers classes, and
16 bearing by geographic location and different utilities.

17 The second part is that a lot of these are going
18 to be voluntary actions. And to the extent that it is
19 going to be voluntary action on a customer, on a
20 building owner to do this, how are we making sure that
21 our policies and programs are not unintended
22 discouraging. As we adopt and try and figure out new
23 regulatory regimes, codes and standards is hugely
24 impactful.

25 There's current policies being considered about

1 baseline. I think that's kind of a critical policy to
2 figure out what we want it to be. Because, from
3 figuring out what the baseline is going to be for energy
4 efficiency programs is going to be dictating what the
5 potential targets are, how we calculate progress.

6 I think that there's a lot of technological
7 innovation that's going on right now, that we're trying
8 not to get in the way of, as well. While we're trying
9 to push and be encouraging, there's a lot of things
10 going on, the communications, the NES, the remote, the
11 appability [sic] that are empowering customers to be
12 able to control and manage their energy use that haven't
13 taken, necessarily, a lot of utility-funded dollars to
14 do it. It's something that is delivering a service that
15 the customer wants. And trying to figure out, okay, how
16 can we build off of that?

17 But there are going to be, still, I think, a
18 critical role for utilities in trying to help breakdown
19 the silo approach that we have in the forms of
20 communication, education, outreach. We're really trying
21 to make sure that whatever the customer situation is
22 that they are equipped with the tools that they are
23 knowledgeable -- how they, in their unique circumstance,
24 can save energy. And that's difficult.

25 Energy literacy is about as high or maybe lower

1 than our financial literacy, in general. And so, I
2 think there are ways that we, as utilities, frequently
3 as a trusted energy advisor can partner with the State
4 on some of those education outreach efforts.

5 I think the final point that I'll make is
6 there's a tremendous opportunity here, but there's also
7 going to be a significant amount of technological
8 development. We're going to have the electrification of
9 transportation, which is another overlap that we're not
10 really talking here.

11 So, as we set our goals for EE, I think it's
12 important that we recognize, A, how some of the other
13 trends, as far as distributed generation and
14 electrification, may change the fuel source. And so,
15 when we talk about energy efficiency, that if there is a
16 fuel switching component, that that's kind of built in
17 to the targets and accounted for. Such that, if you see
18 an increase in electricity, that's not a negative if it
19 means that we're spending -- we're having greenhouse gas
20 savings because of the fuel switch.

21 So, I think I'll leave it at that and wait for
22 comments.

23 COMMISSIONER MC ALLISTER: Thanks very much.

24 All right, Greg.

25 MS. RAITT: Welcome.

1 MR. WIKLER: Good morning. Greg Wikler, with
2 Navigant Consulting. I wanted to thank the Commission
3 and the agency commissioners and officers here today for
4 giving me the opportunity to speak about energy
5 efficiency.

6 I'm going to first start with a short
7 presentation, I promise a short presentation, on the
8 goals and potential study, and then address some of the
9 questions that were posed for this panel.

10 So, the next slide. So, there are four primary
11 elements to the goals and potential study that we are
12 working with the CPUC on, currently. And I'm just going
13 to focus on task one, which is really an update to the
14 previous potential studies that had been undertaken by
15 the CPUC, and conducted by my company over the last
16 several years.

17 What the task one effort is really intended to
18 look at is updating the goals for the purpose of
19 supporting the 2016 and beyond time frame in the first
20 generation of the rolling portfolio cycle for goal
21 setting purposes.

22 We are also engaged in a number of tasks that
23 are looking at, for example, working with the CEC and
24 the IEPR forecast scenarios for additional achieved
25 energy potential, or AAEE scenarios.

1 And we're also working, through the CPUC, on
2 looking at the effect of energy efficiency targets for
3 greenhouse gas reductions, as well as the strategic plan
4 update, and some of the metrics that need to be looked
5 at to help inform that updating process.

6 The next slide, Heather. So, this is one of
7 multiple stages of efforts that we're undertaking. So,
8 what we're involved in right now is what we're calling
9 stage one. We didn't want to get confused with the
10 phases of the energy efficiency proceeding, so we're
11 doing stage one that is essentially supporting the 2016
12 and beyond goal setting process. And it relies on a lot
13 of data, that is available, to essentially provide that
14 update.

15 We will be looking, under stage two, at a number
16 of issues, including some possible changes to the
17 methodology and ways that EE potential is calculated,
18 addressing baseline changes that were referenced here,
19 this morning, as well as cost effectiveness analysis,
20 emerging technologies and looking at a broader coverage
21 of those measures, as well.

22 The next slide. So, this is just my spaghetti
23 chart that just shows you where the data sources are
24 coming from. A lot of sources are CPUC-vetted studies
25 that have been used to essentially help us inform the

1 updating process for the potential update.

2 And then we also, as any potential study relies
3 on literally thousands of data sources, so we have non-
4 CPUC sources, as well, to help inform the analysis.

5 The next slide, please. So, this is just an
6 illustration. I don't want to get into the details
7 here, but this is just taken from our last study where
8 we were tasked with creating different scenarios of
9 energy efficiency potential. And if we focus on the mid
10 column there, it just essentially shows what was the
11 potential, the parameters that essentially defined the
12 potential analysis for goal setting purposes, in the
13 previous proceeding.

14 And then, the high scenario was used for the
15 IEPR forecast, to look at what might be additional
16 energy efficiency achieved.

17 And we can see that there are a number of
18 parameters, you know, things like incentive levels,
19 payback criteria, discount rates, things along those
20 lines. But the analysis was somewhat limited to what
21 parameters we could change in the analysis going to the
22 high case.

23 So, I just wanted to point this out, that there
24 are probably a number of other things that aren't
25 included on this table, that would need to be considered

1 to really look at what is the potential when you go to,
2 you know, essentially doubling the savings
3 opportunities.

4 The next slide. This just gets us into some of
5 our results. And rather than spend time going through
6 the specific ones, I just wanted to point out a few
7 things.

8 I think Steve mentioned, earlier, that
9 achievable potential is quite below the economic
10 potential. And you can see, on the right-hand side
11 there, the lowest line, the greenish line, that's
12 achievable potential accumulated through the year 2024.

13 And the next line up is the economic potential.
14 So, to Steve's point, we're at about 50 percent of
15 economic potential.

16 The question that is, of course, on my mind is,
17 well, why couldn't we get more? You know, what are the
18 factors that limit us from getting to higher levels of
19 potential? And I think we'll talk about that,
20 certainly, in today's discussion.

21 Some of those factors relate to the policies.
22 Other factors relate just to the pure economics and how
23 much incentive is being provided to customers to offset
24 their first cost, et cetera.

25 If we move to the next slide, we'll see that

1 this is the gas side. And you can see that that
2 achievable line is considerably lower than the economic
3 potential. In this case, it's about a quarter. So,
4 unlike the electric side, where we were saying
5 achievable potential is about half of economic
6 potential, on the gas side it's about a quarter.

7 What's driving that? Why couldn't that be
8 higher? And one of the things that -- or a few factors
9 that come to mind on the gas side is, unlike
10 electricity, where you have a whole host of different
11 end uses and measure types, with different lifetimes and
12 such, the gas side you have a lot of long lifetime
13 equipment end uses, so turnover isn't as common or
14 frequent, as it is on the electric side.

15 So, the opportunities for savings are more
16 limited in time frame, certainly in a 10-year time
17 frame.

18 And then, you know, the low avoided costs on the
19 gas side. Gas is cheap in the State. And that is, I
20 think, a driving factor in terms of the customer
21 economics as to how much uptake there could be in terms
22 of potential.

23 The next couple of slides just show us the --
24 this is on the electric side, the percent savings.
25 Sometimes the percent savings can be quite informative

1 of how much achievable or market potential there is.
2 And we can see on the electric side, this is just by
3 sector, one of the noticeable things that you can see on
4 most of the -- at least with the residential and
5 commercial sectors is the precipitous drop in potential
6 at 2018. And that has a lot to do with codes and
7 standards on the lighting side that come into play.

8 If you look on the right-hand side, those are
9 total results, percent of sales that also include codes
10 and standards efforts, and the efforts the IOUs are
11 doing in terms of code advocacy.

12 So, when you add in those parts of the equation,
13 you actually see 1.4 percent climbing up to 1.6 percent,
14 and then dropping down a bit after the code is put into
15 place. I think this is just helpful illustration and
16 good for context in our discussion today.

17 The next chart just shows that same calculus on
18 the gas side.

19 So, that was the potential study. I promised it
20 would be brief. I wanted to just spend a couple of
21 minutes talking about some of the questions that were
22 posed to the panel today.

23 And on the first question, in terms of how will
24 setting statewide target for all California activities
25 be leading to greater levels of savings?

1 So right now, there are mechanisms for IOUs and
2 POU's to achieve energy efficiency savings. The targets
3 are set based on current policies and various mechanisms
4 are put into place to ensure that those targets are met,
5 compliance filings, shareholder incentive, things like
6 that.

7 One question that I wonder about is who is
8 responsible for ensuring that the savings are -- that
9 the targets are actually met?

10 You know, the CPUC certainly has the
11 jurisdictional oversight over the investor-owned
12 utilities. The CEC oversees the POU activities. But
13 sometimes I think there's confusion in the marketplace
14 as to who is truly responsible for ensuring that those
15 savings are actually being met.

16 And it might be worthwhile to consider some
17 organizational structures. I know that probably scares
18 a lot of folks, but thinking about, you know, would
19 there be one entity, like a demand side management
20 office, that could kind of oversee, set the goals at the
21 broad level and then make sure that the various agencies
22 are reaching those goals, or what they're doing to make
23 sure that those goals are being met.

24 So, some of the examples of the non-utility
25 initiatives that have been put into place. I think

1 AB758 is a great example, Prop. 39, where those are sort
2 of cutting, you know, cross-cutting initiatives or
3 efforts that help enhance the achievement of energy
4 efficiency.

5 I think it's important, again to my earlier
6 point about coordination and having that single entity
7 that would oversee and be responsible. In this context,
8 you know, certainly having AB758 is extremely important.
9 But I find that in the marketplace there is a bit of
10 confusion as to who is actually going to implement
11 various elements of that. Is that the IOUs? Is it the
12 POUs? Is it other entities. So, having a little bit
13 more clarity around organization might be helpful.

14 Finally, some of the analytical requirements.
15 I, like Steve, have about five areas that might be
16 considered.

17 First, I'm a fan of potential studies. I've
18 been doing potential studies for about 28 years, now.
19 So, I think that having a statewide energy efficiency
20 potential, not just the IOU-specific, or POU-specific,
21 but having a statewide energy efficiency potential
22 effort might be very helpful.

23 It would also assess the interplay between
24 different -- not only the different agencies that are
25 responsible for implementing energy efficiency, but also

1 the different resources that are being put into place,
2 now. So, you have different, you know, distributed
3 resources, renewable energy, storage, and things along
4 those lines that, no question, are going to have an
5 impact on the magnitude of savings. So, having a cross-
6 cutting assessment, at a statewide level, I think would
7 be very helpful in terms of trying to set some broader
8 goals and really drill down to what's the true
9 potential.

10 Second is assess some different policy
11 approaches and their effect on energy efficiency
12 potential. So we know, from the information that I just
13 presented, you know, that we're at best reaching about
14 one percent of savings each year, at least projected in
15 the future.

16 But much of what we look at in the current round
17 of potential is very much a function of current
18 regulatory policies. So, if greater levels of certain
19 energy efficiency measures would be permitted to be
20 counted, say for example, like equipment, certain
21 behavior-based initiatives, operational efficiency,
22 strategic energy management, things along those lines,
23 also emerging technologies, we might be able to see
24 greater levels of potential at least stated. And,
25 hopefully, achieved.

1 The third area is to broaden the analysis
2 framework to include opportunities for non-equipment
3 energy efficiency measures. So right now, our analysis
4 approach and our models are really, primarily focused on
5 equipment replacement.

6 However, with the advent of more granular energy
7 use data, smart meter data, better tools out there to
8 help customers use that data to improve their energy
9 usage on an ongoing basis, some of those measures, if
10 you will, should be looked at and given more emphasis.

11 Of course, to do that we have to really think
12 about how we measure the effectiveness or evaluate the
13 effectiveness of those efforts. But it certainly would
14 be an important area to look at.

15 Fourth is to -- I think to analyze load impacts
16 of energy efficiency measures at more points in time.
17 Right now, we really look at the annual savings
18 associated with energy efficiency measures, and then we
19 look at peak demand, or demand at certain times of the
20 year.

21 I think, unfortunately, to get to a level where
22 we need to be, and I say unfortunately because it does
23 involve a lot of data, we really have to go down to
24 looking at hourly impacts. And even looking at impacts
25 at a regional level. That is, perhaps, more than just

1 climate zones, but looking at sub-regions. What is
2 happening at a feeder level, for example, as opposed to
3 just at a climate zone level in terms of impacts, and
4 the magnitude of those impacts. I think that that's
5 kind of the direction that we probably need to go.

6 And, finally, I think we need to reevaluate the
7 way we look at cost effectiveness. Right now, our
8 framework limits or quantifies the benefits to just
9 being more or less a one-dimensional perspective, where
10 we assess the avoidance of the most expensive energy-
11 generating resources.

12 We might need to include in our frameworks, at
13 least provide for additional benefit streams from
14 avoiding carbon, and other non-energy benefits that --
15 such as the value of production, and things along those
16 lines.

17 And I think we need to reassess the assumptions
18 around discount rates and possibly get more granular
19 with certain discount rate assumptions based on
20 different customer groups.

21 So, that was all I had to say from my prepared
22 remarks. Thank you, again, for the opportunity.

23 COMMISSIONER MC ALLISTER: Great. Thanks very
24 much.

25 Let's see, so I guess, I think we'll probably

1 start with the dais, but we're going to try to keep it
2 economical so we can try, and that's the operative word
3 there, so that we can have some time at the end, in 20
4 minutes or so, at least, for public questions.
5 Hopefully, more than that. But to deepen the
6 conversations in ways that we might not be thinking
7 about, from the dais.

8 So, I guess, so I want to thank you all for your
9 presentations. You really teed up a lot of great
10 issues. And, you know, just a couple of points that
11 maybe we can elucidate a little bit more.

12 You know, absolutely agree that, really, many of
13 the questions we have here are structural in terms of,
14 you know, I think the point that Greg had just made
15 about who's responsible for what. You know, you go
16 through 758 action plan and there's a list of partners,
17 with one of them kind of assigned responsibility for
18 each thing. But that is completely subject to comment.
19 And, you know, want to try to find out the right
20 structure to do that.

21 We've proposed one in there and we absolutely
22 want comment about it. And right now, we're primarily
23 thinking the PUC and the Energy Commission need to
24 establish some kind of body that really keeps fingers on
25 the pulse of what's going on in the marketplace, and

1 what the policies are achieving or not. And then,
2 bringing in the other agencies when the topics are
3 relevant to them.

4 But, you know, certainly putting those
5 responsibilities where they belong and then having some
6 transparency and accountability which is really, I
7 think, what we all want, would be great to hear.

8 Second, so goal number two in the action plan is
9 data. There's a whole bunch of stuff in there about
10 data and you've mentioned a few things.

11 And I wanted to just key off something that
12 Jonathan Changus said, which is absolutely agree, and
13 it's very intentional, that the action plan focused on
14 the broader marketplace and not just utility programs.
15 It's absolutely I completely, 100 percent agree with you
16 that we can't just be talking about ratepayer-funded
17 programs, we have to be talking about market
18 transformation.

19 Having said that, in that context utility data
20 is no longer just a utility issue because the
21 marketplace needs better data in order to make better
22 decisions.

23 So, how do we get there? okay, and we can parse
24 that in a number of different ways.

25 But I think, Jason, you also mentioned that,

1 that better data to make better decisions and form not
2 only customers, but the marketplace. We need to figure
3 out how to make that happen.

4 So, you know, that conversation, I think, is
5 just increasingly important, both at the Energy
6 Commission, but sort of within these walls, you k now,
7 we want data to make better policy, to implement policy
8 in a more efficient way. But also, figure out ways that
9 we can kind of balance the customer privacy concerns
10 with really getting data in the hands that can use it
11 most innovatively.

12 And, obviously, both the agencies, the Public
13 Utilities Commission and the Energy Commission are
14 concerned about this, and working together on how we can
15 negotiate that field.

16 And third, behavior is huge. Greg, you
17 mentioned that. And how do we not just focus widgets,
18 but focus on choice.

19 And that then brings up the issue of, okay,
20 well, what if it doesn't happen? Voluntary programs are
21 voluntary. Somebody said they're -- okay, what's the
22 end game in terms of when do we go mandatory, if we
23 really are serious about getting these goals, right.
24 So, I think that's a little bit of a touching subject
25 but, you know, we live in a democracy and it's hard to

1 mandate things.

2 But they are completely robust and in
3 everybody's best interest, maybe we need to think about
4 what that might look like.

5 So, I'll just kick off with one question and
6 then we can bounce around from the dais. So, I'm really
7 interested in, Steve, your view of the agency roles,
8 sort of the intent of 1330 and kind of getting a handle
9 on what the Energy Commission will be asked to do? Sort
10 of, at least current thoughts on that. And what, you
11 know, if we are thinking statewide, and we are thinking
12 of sort of trying to be consistent, we are thinking
13 about relative authorities over IOUs and POUs, sort of
14 how, in your conception, does that change, if it does,
15 the Commission's role, the Energy Commission's role in
16 kind of overseeing this effort or what -- you know,
17 doing certain analytical pieces?

18 MR. SCHILLER: Thank you. I don't see a huge
19 change in the roles for the Energy Commission or,
20 actually, for the Public Utilities Commission here.
21 Because of the mandate that would be put on this for the
22 savings, there would be more of an enforcement role.

23 But in terms of your procedures and processes
24 that you would use, although there's a floor target set
25 in the bill, that doesn't mean that the agencies, both

1 Energy Commission and the PUC working together, could
2 establish that a different goal would be appropriate.
3 You know, presumably, a higher goal. That you would
4 still have the interest in continuing with the potential
5 studies, the proceedings, the oversight roles that you
6 would have.

7 The way 1330 is currently written, the Energy
8 Commission, in collaboration with the PUC, has
9 responsibility for coming up with a statewide consistent
10 manner in which the savings are defined and then
11 documented, or measured.

12 And then, specifically, there's an oversight
13 role for the POUs that the Energy Commission has, and
14 the investor-owned utilities, and the CCAs for the
15 Utilities Commission.

16 So, one of the things within this is that it's
17 saying there's a floor target. Now, continue with your
18 processes that you have to make it so. So, in some ways
19 you could say that things are the same except for,
20 instead of using the proceeding to come up with the
21 targets for the investor-owned utilities or, you know,
22 the processes internally for the public utilities, that
23 there's a floor. It is consistent with the Governor's
24 goal. It's consistent with what we need to do, you
25 know, for our overall State goals.

1 And that, from there on, you know, that's the
2 change is that there's a floor there. But I think the
3 other processes would continue.

4 Now, I think per some of the discussion here,
5 you know, can't those processes work better in
6 collaboration among the agencies? Absolutely. I think
7 that, you know, there are certainly a number of comments
8 people could have about the efficiency of the regulatory
9 processes that take place and the timeliness. I'd say
10 that one advantage of having these targets, you know,
11 perhaps as you might -- you directly have the experience
12 within RPS, is it provides some forest for the trees.

13 And so, when there are these decisions down in
14 the nitty gritty, in the details about how a measurement
15 verification, you know, a custom energy efficiency
16 project is going to be assessed that there's something
17 there that says here's the forest. We've got to get
18 these savings. This is what we're doing. And so, I
19 think it can help provide that direction for the
20 agencies, and their staff, so that they can see where
21 they're going. And I think that's what we want to do,
22 we want to achieve this.

23 COMMISSIONER MC ALLISTER: Well, I guess I'm
24 thinking there needs to be some kind of analytical
25 resources. Maybe it already exists and I'm just not

1 aware of it. But just sort of to look at disaggregate
2 the codes and standards impacts from it actually
3 occurring, from voluntary programs, all that kind of
4 stuff, that becomes actually really important to do if
5 we're going to -- you know, as part of the forest. So
6 like, and doing it for POUs and IOUs.

7 And sort of, you know, that seems like a big
8 task that is kind of underplayed right now and I'm just
9 trying to make sure that we don't get caught, or either
10 agency gets caught sort of having something that turns
11 out to be a big deal, but without resources to do it.
12 So, I think that's really what I'm asking.

13 MR. SCHILLER: Well, first of all, I've always
14 been very supportive of both agencies, particularly the
15 Energy Commission in its role, and how it's funded, that
16 it has the resources to do the job.

17 And I think there's two elements to this. And,
18 I think, again, the panel's talked about it and I think
19 others would probably have input on there. One is data.
20 Just nerdy data. And it's data at the macro level, it's
21 data down to the micro level, it's data in between. And
22 we need more of it.

23 And I look at the Energy Commission as the place
24 that needs to do that and the resources need to come to
25 the Energy Commission so they can do that.

1 You know, we need database assessments, database
2 work here. And, you know, the Energy Commission, I
3 think, is going to have a greater task. You have the
4 Demand Analysis Working Group. I think that's, you
5 know, a starting point for this work. But, certainly
6 there is a need for much greater data and for that data
7 to be open and available.

8 In terms of assessing the targets and things
9 such as baseline, that's an issue that's been going on,
10 you know, for three decades at least and sort of
11 assessing that. In trying to sort that out, as we have
12 an aggressive State here, with an aggressive codes and
13 standards, is differentiating between the codes and
14 standards savings in what, you know, is applicable
15 there.

16 I think that is an area, you know, perhaps why
17 we're seeing a particular bill, numbered 802, is trying
18 to get to the frustration of figuring out how do we see
19 the forest of getting the overall savings yet, you know,
20 crediting appropriately where the actions are.

21 And it's a tricky issue and it's going to take
22 some time and effort. And we'd certainly like to see
23 that coordinated between the agencies, and the work
24 there, irrespective of what happens with 802.

25 But it's difficult. The situation with existing

1 conditions, for example, for the low-income community.
2 Do we want to have existing conditions be that for the
3 low income? Because existing conditions means, frankly,
4 a lot of them don't have proper services. Is that the
5 right one?

6 On the other hand, when we have growing codes
7 and standards, as Greg pointed out, is that the right
8 way to set a baseline for, say, a commercial property.
9 You know, and have situations where the code's
10 actually -- the actual efficiency action could trigger a
11 code.

12 So, there's some work that needs to be done
13 there. You know, there is work to be done. So, I think
14 the overall responsibilities that I mentioned before, I
15 think are consistent before and after an EERS. But the
16 amount of resources, frankly, that you're going to need
17 to put into it, I think are going to increase.

18 COMMISSIONER MC ALLISTER: Great, thanks. I'll
19 bite my tongue for a second and give Commissioner
20 Peterman a chance to ask a question.

21 CPUC COMMISSIONER PETERMAN: Well, I'd be
22 interested in hearing your response, Commissioner
23 McAllister, but I'll pose a couple questions, first.

24 I think, you know, I'm still trying to get my
25 head around, perhaps, some of the same questions Andrew

1 has in terms of the actual target setting and kind of,
2 ultimately, what we'll have to do as a Commission as
3 there will be some type of residual energy efficiency
4 need that we'll have to direct the ratepayer programs to
5 do.

6 But in order to do that, we still have to
7 identify what's the impact of codes and standards?
8 What's been the impact of CSD's programs, you know, for
9 low income, Prop. 39? And so, I think we're just
10 trying to figure out how this process makes that more
11 efficient.

12 Yeah, a broad question I have for you, first,
13 Steve, is how would you recommend we would approach this
14 to make sure this, then, doesn't set a minimum energy
15 efficiency goal? Well, I mean it is a minimum energy
16 efficiency goal. But then what's -- I mean, how do we
17 make sure that it's not a ceiling, if you will?

18 MR. SCHILLER: Well, that's by these fantastic
19 appointments that our Governor has made to our
20 commissions, I think is our first point for that.

21 But I think that's -- you know, that's the
22 process you'd have. So, you would continue the work of,
23 say, the potential studies, or the other work, and the
24 other assessments of looking at this. And, you know,
25 you can raise the goal as appropriate.

1 And that goal might be raised for one utility
2 versus another, depending on what's their situation, or
3 for one market or another. So, the goal certainly could
4 go up.

5 In terms of the question about how does this
6 make the process more efficient? I'm trying to think of
7 the right way, so let me just come out and say this.
8 This bill, itself, does not speak to the efficiency of
9 the process. It says here is the forest, here is the
10 goal, we need to do this.

11 And now, our responsible agencies see this and
12 it's their responsibility to make this work. And the
13 tools that you have are the tools that you have to do
14 that. You know, I guess that's part of the decision you
15 can make in terms of the Administration's
16 recommendations. Do they want further guidance from the
17 Legislature on how, specifically, to achieve things?

18 And I think that, you know, for me it's
19 appropriate for the Legislature, and then the Governor,
20 if he so decides to sign it, is to set these goals. And
21 then, for the agencies, the utilities, and the
22 marketplace to figure out how to deliver it and to
23 deliver it efficiently.

24 CPUC COMMISSIONER PETERMAN: And then my second
25 question, a few of you mentioned just the importance of

1 thinking about energy efficiency in the context of some
2 of the other developments that are happening in the
3 energy sector, and where are we going on renewables and
4 transportation electrification.

5 And so, given that there's this interaction with
6 all these other resources areas, can you see an
7 opportunity for setting energy efficiency targets as
8 part of more of an integrated resource planning approach
9 that includes other resources, versus setting a separate
10 target for energy efficiency, as has been proposed with
11 the resource standard?

12 MR. SCHILLER: I want to make sure I get to the
13 panel, so I'll try to be really quick. So, there's two
14 elements to the 1330. There's the demand response and
15 that is a target setting, you know, that basically asks
16 the agencies to work on a target setting for the demand
17 response.

18 And in that, it specifically calls out that
19 there's consideration of electrification, distributed
20 generation and storage, and that be looked at for the
21 target setting.

22 Within the energy efficiency, you know, this is
23 clearly -- people can have different perspectives here.
24 You know, your integrated demand side management
25 proceeding, I think is very important, that Commissioner

1 Florio is the lead commissioner for. That we really, as
2 I mentioned, need to be looking at this on the
3 customer's side of the meter. From the consumer's point
4 of view and the market's point of view is one thing.

5 However, we do need to stop wasting less energy.
6 And so just because there's other elements to it that I
7 think are important in terms of this integration about
8 how we make this grid work, to have a -- essentially,
9 moving towards a carbon-free grid and this integration
10 is very important. But a starting point, first, in the
11 loading order is let's set some reasonable target for
12 not wasting energy.

13 In the ERRS, I think there's the -- there was
14 mention, actually Jonathan mentioned this, too, the
15 importance of electrification. The current version of
16 the legislation specifically says that the electricity
17 associated with electrification for vehicles is not
18 counted towards the goal, so we don't have a
19 disincentive for electrification.

20 The laws, as associated with storage, are not
21 included. And for natural gas vehicles, also on the gas
22 goal, that charging of -- or the fueling of natural gas
23 vehicles doesn't count towards the goal. So, we don't
24 have a situation where the different goals that the
25 State has are in contradiction.

1 COMMISSIONER MC ALLISTER: Yeah, go ahead,
2 Karen.

3 MS. EDSEN: Steve, you may have started to get
4 at this a bit. So, at the ISO, of course, we're about
5 operating the system and trying to make sure that we're
6 operating it reliably and as efficiently as possible.
7 Well, we do our best.

8 But it's, of course, getting increasingly
9 complicated with the greater complexity on both the
10 supply side and the demand side that we deal with.
11 We're doing a lot, ourselves, to try to allow
12 aggregation of behind-the-meter resources to participate
13 with us. But we also look at wanting more consumption
14 certain times of the day and less other times of the
15 day.

16 So, tell me how that -- you touched on this a
17 bit. If you could say a little more and maybe, Peter,
18 you can add to this as well, how we can better account
19 for that in terms of energy efficiency?

20 MR. SCHILLER: You want to try that one, first?
21 It's a tricky -- actually, yeah, Peter, take a shot at
22 that first.

23 COMMISSIONER MC ALLISTER: I want to put a finer
24 point on that. So, I want to put a slightly finer point
25 on that, as well.

1 So, you know, essentially what we're talking
2 about is the ISO has got to know that resource is there.
3 And there are all sorts of attributes, other than
4 kilowatt hours. You know, not all kilowatt hours are
5 created equal and that's going to, increasingly, more so
6 be the case as we go forward, right.

7 So, I guess in a procurement environment or, you
8 know, we're talking about sort of a structure of what
9 this looks like. I guess how does -- how might we
10 encapsulate energy efficiency in a way that respects
11 those system needs and unpack the attributes?

12 You know, and I'm wondering if your DR kind of
13 thought -- your DR approach kind of tries to do that and
14 that's what you're trying to do there, or how do you
15 propose kind of -- if this were to take place, how would
16 it fit, as Commissioner Peterman was asking with, say, a
17 procurement regimen or with all the other resources that
18 are on the grid?

19 MR. SCHILLER: So, you know, efficiency can work
20 as a demand response resource. Demand response is, in
21 itself, though, a separate piece in that we're looking
22 to respond demand both economically or for emergencies.

23 And so, you know, targeting that clearly, that's
24 going to be locational, time-based, you know, I think
25 I'd mentioned. And others have mentioned the importance

1 of looking at that and, again, back to the better data
2 to addressing that.

3 You know, the Efficiency Resource Standard is an
4 annual target. It's really speaking to let's just, you
5 know, waste less energy here. You know, the concern
6 about should we just have everybody turn on their lights
7 at 4:00 in the afternoon? I'm not quite there, yet.
8 You know, it's going to counter everything I've said to
9 my teenage daughters for many years here.

10 So, I think that things that we're looking at, I
11 think looking broader, I just have to feel that to use
12 the energy efficiently is fundamental. I can't say
13 otherwise in Art's room here.

14 But there's other things we can do. And I
15 think, again, that's been brought up. There's storage,
16 there's electrification, there's looking at an overall
17 system of grid management. And, you know, I think
18 that's a responsibility on our utility partners in this
19 is that looking at the overall system and having the
20 policies that before we tell people to turn on their
21 lights at 4:00 in the afternoon, I'd rather have them
22 charging their car, for example.

23 COMMISSIONER MC ALLISTER: Well, Peter, if you
24 have anything?

25 MR. MILLER: Yeah, I mean, I think you've

1 touched on what is really an exciting and challenging
2 area going forward. In which, you know, what we've had
3 in the past is three non-overlapping areas, demand
4 response, storage and energy efficiency. You can see
5 the VEN diagram has those circles enlarged and start to
6 overlap. And there are technologies that will be hard
7 to distinguish between, you know, is it energy
8 efficiency, is it storage, is it a demand response
9 measure?

10 If you're turning on your air conditioner during
11 the night and storing the cool so that you can use it
12 during the day, maybe you're reducing demand overall as
13 a result of that, and maybe you're increasing it a
14 little bit. But you're able to adjust the time in which
15 you're consuming it. You're storing the energy in a
16 form that helps to lower costs overall.

17 So, I think you've got a challenging job at the
18 ISO in trying to send the market signals that will
19 encourage behaviors and technologies that help to
20 address challenges of meeting grid needs.

21 And it's an exciting area going forward. I
22 don't think it needs to overwhelm the overall goal that
23 we need to increase our energy efficiency and improve
24 our use of energy efficiency technologies.

25 MS. EDSEN: Yeah, I want to be clear. I'm

1 certainly not suggesting that we shouldn't be as
2 efficient as possible. I think to the extent that we
3 face the challenge of -- the prospect of having too much
4 power certain times of the day, that what you want to do
5 is find a productive use for that, that further
6 decarbonizes the system. Which is certainly what our
7 goal is and what we're trying to accomplish.

8 But it does, you are in a circumstance where you
9 could be increasing demand of one kind or another. That
10 it sounded, Steve, like you were suggesting vehicle
11 charging doesn't count in some fashion. I wasn't quite
12 clear on how you would account for those kinds of
13 changes in demand, in accomplishing the energy
14 efficiency goals, themselves.

15 MR. SCHILLER: So, the way the energy efficiency
16 target should be set, and assessed, is what the results
17 are from energy efficiency activities. You know, we
18 don't want -- we, being I think the State, don't want a
19 situation where it's not the efficiency activities that
20 are being assessed towards this target. So that, you
21 know, if a business shuts down, that's not a good thing
22 and we certainly don't want that to be a credit towards
23 energy savings in the target.

24 On the other hand if, you know, someone's
25 charging their vehicle and the consumption goes up

1 because it's towards our State goals, as you just said,
2 you don't want that against.

3 So, in the legislation it talks about exempting
4 charging and storage losses from the target setting.

5 So, if it's two percent per year, the electricity
6 consumed for charging isn't used in that calculation of
7 the two percent.

8 On the other hand, you know, this is from
9 decisions to be made. I think, you know, for all the
10 agencies up here, I want to include you, also, that if
11 we have a situation where, you know, for a low-income
12 tenant, that they now actually have heating in their
13 home, or they actually have lights, you know, they have
14 LEDs, instead of incandescents, so they can now afford
15 it. And they go from not turning on the lights to
16 turning on the lights, I don't want them to be
17 disadvantaged, either.

18 You know, because of the nature of efficiency,
19 and the facts, et cetera, it becomes a difficult
20 situation. But we're looking at the target achievement
21 is based on results from efficiency activities. And we
22 don't want to disadvantage other things, like you're
23 talking about here.

24 Let me just apologize real quickly, and just
25 sort of mention, we saw as one of the benefits of an ERS

1 is that it actually provides some certainty for you, for
2 the ISO, as well as for CalEPA, or the CARB in terms of
3 the climate goals, because there's something you can
4 point to. And I know this has been an issue in the
5 past. It says, you know, here it is in statute, this is
6 the kind of savings we're going to be getting and that
7 gives you more to count on as resource planners.

8 MR. MILLER: I wonder if I could add something,
9 as well?

10 COMMISSIONER MC ALLISTER: Yeah, go ahead.

11 MR. MILLER: I think the way I think of the EERS
12 and the energy efficiency goal is I think we've become a
13 little bit complacent in terms of our energy efficiency
14 efforts as a State. And I think of the goal as an
15 admonition that we need to redouble our efforts.

16 And I think, Carla, this goes to something you
17 asked earlier, how do we assure that it isn't seen as a
18 ceiling, instead of a floor?

19 I think we currently view our goal as something
20 of a ceiling. And we currently -- the language in code,
21 in statute is aggressive. All cost-effective energy
22 efficiency. We see that as a minimum and that we can go
23 beyond that.

24 But I think too often in policy it's seen as a
25 floor. And we're overly cautious. And we take the

1 position that we certainly don't want to give utilities
2 credit for things that might otherwise happen. We have
3 a very conservative approach to calculating cost
4 effectiveness. We don't count below-code savings, even
5 though we all know that there are many buildings out
6 there, existing buildings that aren't up to current
7 code, and are unlikely to get there for a long time.

8 So, there's a number of ways in which we
9 artificially and inappropriately constrain our energy
10 efficiency effort. And I think adopting an aggressive
11 and ambitious goal is a kick in the pants. It's an
12 admonition that we need to redouble our effort.

13 And if, ultimately, we get to 2030 and the goal
14 says two percent, and we're at 1.9 percent, I think we
15 can view that as, you know, a big effort. You know,
16 we're currently at one percent. That's a lot more than
17 we're currently at. We think we could probably go
18 beyond the two percent and we don't want to see it as a
19 ceiling, and we can get to 2.1 or 3 percent.

20 We need to try a lot harder. We need to take
21 off the shackles. We need to really take a look at what
22 we're doing and ensure we're really being as aggressive
23 as possible.

24 CHAIR WEISENMILLER: Okay. Yeah, I have a
25 couple -- yeah, go ahead.

1 MR. CHANGUS: Just a quick response is that so
2 far this conversation as focused really on utilities in
3 the State. And I haven't heard, yet, how any of this
4 motivates customers to make the voluntary actions it
5 needs to do.

6 And I think that's part of the challenge. I
7 strongly disagree that an EERS doesn't create a
8 significant new regulatory regime, instead of building
9 off of the existing structure. It's additional to
10 AB758, instead of working off of what the CPUC and the
11 CEC have current been working, as well as utilities.

12 Secondly, we're talking as if we don't currently
13 have utility goals and expectations. Public power set a
14 record for the amount of dollars it invested in or
15 helped customers invest in EE last year. We had near
16 record energy savings reported.

17 And so, I get the idea that there's stagnation,
18 maybe, but it's not on the public side of the ledger.

19 And so, I just want to be cautious that while
20 we're trying to push and the Governor has set an
21 aggressive new goal, the idea that both the State and
22 utilities aren't committed is something that I do not
23 agree with.

24 MR. RECHTSCHAFFEN: Jonathan, I just want to
25 follow up with something you said in your opening

1 remarks. Were you saying you don't think a statewide
2 target's appropriate, there should be specific regional
3 targets, or more targeted programs as opposed to a
4 statewide resource goal?

5 MR. CHANGUS: No, I think that a utility-
6 specific and utility-only goal, which is what we get
7 with AB1330, doesn't capture the Governor's intent or a
8 truly statewide process. So, I think a statewide target
9 is something that we could discuss and should be talking
10 about.

11 CHAIR WEISENMILLER: Okay. So, three areas I
12 want to hit quickly, though they're hard. One of them
13 is that the basic metaphor we're using is some sort of
14 integrated resource plan going forward.

15 And I guess what I'm trying to understand is
16 there's a variety of entities in the State that do
17 things. I think the statistic for the POUs is 42, the
18 top 997 percent of the sales. Roughly corresponds to a
19 city block in Los Angeles.

20 The IOUs, we've got, obviously, the three major
21 utilities, but they have a few ski lifts that
22 characterizes utilities. They have CCAs, now, they have
23 direct access.

24 Given the variety, how do we really capture that
25 going forward? We're assuming the ski lifts or the city

1 block isn't going to do an IRP, but do CCAs? I mean,
2 what are we really trying to do here? Steve? Peter?

3 MR. MILLER: Yeah, I think I view a goal as
4 something that's going to be applied broadly. And I
5 guess it goes back to the comment I made earlier about
6 the need for collective action, collaborative action.

7 If it's simply viewed as a mandate on the
8 utilities, to Jonathan's point, and they aren't given
9 the tools or the resources to get there that's a recipe
10 for failure and not where we think we need to be going.

11 And similarly, if there are mandates that are
12 applied solely on the utilities, but not with -- not on,
13 for example, CCAs, which we're seeing increasing
14 adoption across the State, we think that's going to
15 leave out an important set of customers.

16 So, we think it's important that there be broad
17 overall goals. That needs to filter down to specific
18 goals across technologies, across regions. I don't know
19 that we need to have that level of detail in statute.
20 In fact, I'm pretty confident we don't.

21 But I think in terms of resource plan, in terms
22 of policies that's going to be a necessary part of the
23 effort going forward. We're going to have to look at
24 different sectors. The industrial sector is one that
25 needs increased attention. Small commercial customers,

1 disadvantaged communities all have specific and
2 differing resource needs, barriers, concerns that will
3 need to be addressed differently, through different
4 programs.

5 CHAIR WEISENMILLER: Do we need to make some
6 distinction in the requirements, depending upon the size
7 of the entity, in terms of the IRP process?

8 MR. MILLER: I imagine we probably do.

9 CHAIR WEISENMILLER: Okay. Does anyone have a
10 sense of how much the existing EE programs are spent in
11 disadvantaged communities at this stage?

12 MR. CHANGUS: That's going to be a tricky one
13 for some of the POUs, some of the smaller ones primarily
14 serve a disadvantaged community. They're more rural,
15 instead of the urban I think we typically associated
16 with a significant portion.

17 CHAIR WEISENMILLER: Right.

18 MR. CHANGUS: And a number of the programs, per
19 legislative direction, are focused on low-income
20 customers. But a specific percentage, I don't have that
21 data.

22 CHAIR WEISENMILLER: Okay, any sense for the
23 IOUs?

24 MR. SCHILLER: I suspect somebody in the
25 audience here, so we have a --

1 CHAIR WEISENMILLER: Oh, they can -- either when
2 the IOUs come on, or written comments are always good.

3 I think both Peter and Steve, you know, made
4 reference to the notion of trying to do some fine tuning
5 to EMV, away from attribution. Do you want to talk
6 about what do you have in mind for the next generation
7 of EMV?

8 MR. SCHILLER: How many days do we have here?
9 Let me try to hit the high points. I think the work --
10 there's several areas in which the work can be done. I
11 think one of the ones that's, to me, is most exciting
12 and interesting gets back to the data question. It is
13 that we have invested in all these smart meters, there's
14 so much data, our tools are so much better. The ways in
15 which we can use the information is so much better.

16 So, I think one of the great opportunities we're
17 going to be getting, in terms of doing better with our
18 documenting the impacts associated with these projects
19 and programs is through better use of the data. We
20 really can do more of that, now.

21 There's a more difficult issue which has always
22 been the as-compared-to-what question. You know, what,
23 as the savings, the counter factual. And I think
24 there's a policy issue associated with that, that I
25 think is being addressed in the Legislature.

1 And I think, you know, we see being addressed
2 every day at the Utilities Commission, when there's a
3 meeting and a discussion about what should have been the
4 baseline over at Joe's Grocery Store?

5 And I think that these are the kind of things
6 where there needs to be an overall policy decision as to
7 what we're trying to do. And whether it's what we call
8 the gross savings, because the gross savings are what
9 happens, and irrespective of the attribution of the
10 cause.

11 But we've definitely gotten wrapped around the
12 axle in this State, particularly with the investor-owned
13 utilities, about attribution. And I think it's been a
14 detriment to getting the overall goals.

15 And so, I think there's both an overall policy
16 issue that can be addressed and, frankly, there is no
17 right answer. I work on this all over the world. There
18 is no right answer to that one because it's a counter
19 factual. But there can be policy decisions that are
20 appropriate for the objectives of the State, or
21 jurisdiction.

22 And getting down to the micro level, there's the
23 opportunity that we have, really, now, it's really
24 exciting in terms of the technologies, that we can do
25 much better with actual savings determination. But the

1 baseline is going to be yours.

2 COMMISSIONER MC ALLISTER: So, I want to just
3 dig in there a little bit. So, it seems to me -- so, I
4 agree with the forest versus the trees issue. As a
5 policy matter, you know, I would love to have a resource
6 at the Energy Commission where we could look, really see
7 where the needle is going. And not necessarily think
8 about it as attributable savings, you know, and divide
9 all that up. Just to see, look, where are we going?
10 Are we meeting our goal? Great.

11 And in a market transformation kind of context,
12 that makes a lot of sense because, you know, the whole
13 definition of market transformation is that you don't
14 really know what particular thing moved the needle that
15 much, right. It's all together, it's a preponderance,
16 and it moves the marketplace and that's what you want.

17 But where do our investments go in programs, and
18 how do we know what succeeded? And do we leave it to
19 the implementers to sort of figure that out and, you
20 know, how do we hold them accountable? That's what EM&V
21 purports to do, today. So, what are we replacing that
22 with?

23 You know, let's say we have this big goal and we
24 are meeting it, how do we know what the next iteration
25 of programs looks like? Because we have to figure out a

1 way to gauge their success as programs. And whether
2 they're utility programs or whether they're some other
3 kind, local government, or whatever.

4 So, what does that sort of new regime look like
5 or is it more of what we're doing today?

6 MR. SCHILLER: Well, I do think we need some new
7 regime here. One approach to this is that the gross
8 savings are what you use for determining the impacts and
9 for accounting. And the net savings, the savings that
10 attributable to the action, you use that for program
11 design. And so, you know, that's one approach.

12 And so, when we start to look at it, you know,
13 more an evaluation in terms of moving things forward, we
14 can really start looking at the market transformation
15 things and have the kind of efforts that we need to do
16 to get to a transformed market. Whether that's
17 something that's going to roll into codes and standards
18 or into standard practice.

19 And if we're always just sort of hammering at,
20 you know, what is the savings tomorrow morning and what
21 can we exactly attribute, and use that for the
22 accounting which we give, you know, the credit to the
23 contractors or the utilities, we have this conflict with
24 our overall objectives of transforming the markets.
25 But, really, in getting the savings.

1 And I'm hoping that by having a long-term target
2 that's every year, this will provide, again, an
3 additional encouragement for everybody involved to say,
4 look, we need to do savings today, but we can't forget
5 that next year we're going to have to do savings, and
6 savings afterwards for transforming it.

7 So, that evaluation process that's there, again
8 we've got to do something to get out from being wrapped
9 around the axle of what do we credit the utility
10 administrator with tomorrow morning.

11 COMMISSIONER MC ALLISTER: Yeah, so --

12 MR. WIKLER: Steve, I'd like to just add a point
13 on the -- I fully agree on the data issue. But it's
14 also timing. So, timing of EM&V studies. It typically
15 is a two- to three-year turnaround time frame. So, by
16 the time the EM&V studies come out, I think actually --

17 COMMISSIONER MC ALLISTER: Well, IOU programs.

18 MR. WIKLER: For IOU programs. So, for a
19 potential study, we were updating based on '10 to '12
20 EM&V results for 2016 and beyond goals. So, that's an
21 example of where if we could figure out ways to
22 accelerate the turnaround time on the EM&V, I think that
23 would be helpful for looking at EM&V as a prospective
24 tool, program design, program redesign. Whereas, what
25 we're dealing with today.

1 COMMISSIONER MC ALLISTER: Okay.

2 MR. MILLER: I'll just second that.

3 COMMISSIONER MC ALLISTER: Thank you. I have a
4 question for Jason, but after you go.

5 MR. MILLER: Sure. You know, we need to be much
6 more forward looking. Right now, a lot of attribution,
7 it's retrospective, it's kind of a gotcha game. You
8 know, to the extent -- a prime example that comes out
9 is, you know, trying to figure out the savings from the
10 Residential Retrofit Program, where you're calling up
11 homeowners, three years after they participated in the
12 program, and asking them what they would have done in
13 the absence of the program.

14 And so, you don't get the information until it's
15 too late and you're not getting good information anyway,
16 there's too much uncertainty, and the program's already
17 run. We need to be forward looking instead of backward
18 looking. It's all about moving forward with the best
19 information we have in hand, now. And making a decision
20 that's supported by the evidence, by the best available
21 evidence and going forward with it, and then adjusting
22 as we go forward.

23 So, I think being forward looking, rather than
24 backward looking is a key aspect of this.

25 COMMISSIONER MC ALLISTER: Great, thanks.

1 Thanks, Peter.

2 Yeah, go ahead.

3 MR. RECHTSCHAFFEN: Can I ask Greg, or maybe the
4 other panelists, if you could opine quickly about how to
5 do more with the natural gas, since there's such a big
6 gap between market potential and economic potential?

7 MR. WIKLER: So, I think I pointed out, when I
8 was presenting the results that, what, gas is about a
9 quarter of the economic potential for market potential.
10 Which is are there ways to improve it?

11 Certainly, the factors that go into that
12 estimate are based on equipment, long life, equipment on
13 the gas side. You have shorter lifetimes on the
14 electric side, so there's more turnover on electric.
15 Less turnover opportunities on the gas.

16 And the fact that the economics for customers is
17 quite difficult because of the low gas prices.

18 So, what are ways to improve that? I do think
19 that if there could be more opportunities for retrofits,
20 more opportunities for additional types of measures that
21 might not be included in the mix.

22 I know I was approached by some developers of a
23 solar thermal unit, or system that is tied to steam
24 injection in oil wells. And they were saying, why can't
25 that measure be included in the potential studies?

1 So, if there's opportunity to include additional
2 measures that might not -- that policy may not allow to
3 be included right now, that might also turn the needle a
4 bit.

5 COMMISSIONER MC ALLISTER: We have that next
6 panel, also, that's all about electrification and
7 heating fuels and so, hopefully, will be able to dig
8 into some of that.

9 I guess, I wanted to ask -- I want to make sure
10 I get my question to Jason. So then, maybe we'll circle
11 back. Also, Jonathan, I wanted to ask you about your
12 EM&V process at the POUs, and sort of compare and
13 contrast, and see if we can elucidate a little bit of
14 need for continuity in the State. But you can be
15 thinking about that.

16 So, Jason, I guess I had a couple of questions,
17 really. One, you know, sort of what -- so, we're all
18 concerned and we all really want to get deeper, more
19 broader savings in the low-income sector, you know, in
20 disadvantaged communities. And I think, you know, it is
21 hard to reach. There are lots of very diverse
22 marketplace, et cetera.

23 And so, I guess I'm wondering if you could
24 comment on two things. One, sort of what level of --
25 what kind of programs would be most likely to get at

1 those savings? And maybe you could comment on sort of
2 what levels of resources you would think would get the
3 job done?

4 And then, number two, are there workforce needs?
5 You know, given sort of the weatherization assistance
6 program, and I know you have a variety of programs, but
7 are there challenges in terms of workforce to get to
8 deeper savings that maybe are -- you know, have more
9 technology involved, or that you'd have to sort of put
10 some pieces together and provide some additional
11 services to develop the workforce to do that, do those
12 more deep, comprehensive savings?

13 MR. WIMBLEY: Sure. So, the first question, in
14 terms of the resources, when you look at the makeup of
15 the disadvantaged communities, oftentimes you have homes
16 that are below code standard. Also, you have multi-
17 family dwellings that are affordable housing, and
18 definitely occupied by low-income individuals.

19 But focusing more on the single-family, low-
20 income sector, the types of programs that you would
21 need, would be, obviously, there's energy efficiency.
22 And energy efficiency resources are offered generally by
23 the utilities, whether they be public- or investor-
24 owned, as well as CSD. And then, at times, there are
25 local initiatives that might provide some revenues to

1 support energy efficiency improvements in that type of
2 housing stock.

3 But in addition, you know, what we do find is a
4 need for housing rehabilitation. And I can give you a
5 couple examples of that. We also are moving forward
6 with leveraging the SASH rebates, you know, to provide,
7 to assist with financing solar system offerings to low-
8 income families.

9 But one of the huge impediments is structural
10 roofs, you know, and the roofing conditions are so poor
11 that it doesn't permit for the solar installations to
12 occur. And, obviously, replacement of a roof is a
13 pretty heavy investment for the homeowners to carry.
14 And how do you fill the void?

15 And oftentimes, we're trying to find sources of
16 funding that can cover that type of renovation to a home
17 to allow deeper energy efficiency measures, or renewable
18 energy to take place within the setting.

19 So as a result, we have to default to, you know,
20 kind of cherry-picking particular homes. And at times
21 we are fortunate and lucky to find homes that are
22 suitable for these types of retrofits. But a lot of
23 times, we have to pass on a lot of homes that definitely
24 could benefit from this investment.

25 To your other question, on the workforce side,

1 our programs generally look to recruit individuals from
2 the disadvantaged communities. And our programs, you
3 know, definitely supports and puts heavy investment in
4 building the capacity of our weatherization workforce.

5 So, certainly, there is a need for additional
6 funding to advance the type of technologies and energy
7 efficiency measures that we currently employ in our
8 program.

9 Right now, I think there's opportunity in the
10 area of HVAC, for example. You know, that's an area
11 that we feel that there's a great opportunity, but we
12 don't really have the means to provide the training to
13 the workforce to support that type of activity.

14 And so, we often reach out to workforce training
15 agencies to see if we can form partnerships. But there
16 are times when there's differences in the type of
17 training curriculum that's out there where, you know,
18 you have different variations of certifications and
19 trainings that take place. And we have our brand, but
20 it might not be something that aligns well with the
21 workforce training agency that was looking for something
22 that's more recognized within the industry, or whatnot.

23 So, I think that's one of the challenges with
24 trying to figure out ways to mesh these resources in a
25 way that provides mutual benefit to all parties.

1 But to your point, yes, there's definitely a
2 lack of resource in that particular area.

3 COMMISSIONER MC ALLISTER: Great, thanks very
4 much.

5 So, finally, I want to -- we have four blue
6 cards, so I want to get to those. So, I'll ask you to
7 be quick, Jonathan.

8 MR. CHANGUS: Sure.

9 COMMISSIONER MC ALLISTER: But could you talk a
10 little bit about the POU EM&V process?

11 MR. CHANGUS: Certainly. I think for public
12 power, focusing kind of on Peter's comments about being
13 more focused on the front. From a customer perspective,
14 making sure we understand what estimated programs or
15 projects are going to save them is critical. So, having
16 something that's defensible, is thoroughly vetted on the
17 evaluation and measurement side, first and foremost, is
18 where we spend a lot of our effort.

19 We've been working with NRDC, with the IOUs on
20 the California Technical Form as a more transparent, and
21 open, and easier to use document versus the current year
22 process, which is proving increasingly cumbersome.

23 We undertook, as public power, our own effort to
24 get a technical reference manual that has those clear
25 energy savings up front. And so, I think that's where

1 we've been focused.

2 The V, and what we've seen more on report and
3 interactions is more on the regulators to make sure that
4 the programs actually do what they said they were going
5 to do.

6 And in that essence, I think there's a little
7 bit of a disconnect between how utilities, especially
8 POU's, view EM&V as something that is really more focused
9 on did our program do what it was going to do? What
10 market data did we get? How our customers engaged?
11 It's more than just did we get this amount of savings at
12 this meeting, like we thought we did. That's part of
13 it. But it's much more of a program review that gets
14 you a little more additional information.

15 And we do that especially on more custom or more
16 emerging programs, the new technologies. And so, we're
17 continuing to look, as you think about behavior
18 programs, as you think about operational programs.
19 We're currently working with SCAPA and CPAS, with the
20 Department of Energy, with the Flex Lab program on the
21 interaction between occupancy sensors, plug load,
22 lighting and how those interact together to figure out
23 what is EM&V. So that we know, not only what the
24 expected savings are from a program, but what do we need
25 to share with the customer about what they need to know

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 in something that's more than just replacing a bulb.

2 And as the programs get more complicated, you're
3 going to need to have some of that.

4 And so, the EM&V process is really, for POU's,
5 not just a verification of the expected savings but,
6 really, how is the program in general working. I think
7 that's a significantly different undertaking that's
8 going to net you results about verified or validated
9 three years afterwards. Ours are usually done the year
10 after. You know, as soon as they close, that next
11 spring we're going to get real-time effort, so that it
12 can inform the next fiscal year's planning process about
13 did we need to change incentives. Was it heavily
14 saturated? Was there not as much participation? Why
15 wasn't there? What do we need to tweak?

16 It informs real-time program design and
17 development versus externally validating for demand
18 forecasting purposes what was achieved.

19 Both are important, but we focus more on the
20 customer and program design going forward.

21 COMMISSIONER MC ALLISTER: So, do you then kind
22 of try to true that up in an IRP kind of context? I
23 mean, it varies, I think, across POU's. But some of the
24 big ones are now moving or are doing IRPs, right? Do
25 you then try to link the programs and the results up to

1 wherever the needles going?

2 MR. CHANGUS: Yeah, I think that's an emerging
3 process. I think it definitely informs the next target-
4 setting effort, as well as a number of factors. You
5 know, we're on a four-year basis versus kind of the two-
6 year for the IOUs. But it's definitely something that
7 informs kind of the future program design.

8 And as we anticipate and set the budgets,
9 additional potential from the E bits then, yes, it does
10 feed back into the resource planning. I don't know if
11 it's as fully fleshed out as an IRB across the board.

12 COMMISSIONER MC ALLISTER: Okay, thanks.

13 Do you want to follow up?

14 CPUC COMMISSIONER PETERMAN: Thank you, that's
15 helpful. And again, I'm still trying to reconcile some
16 of the, perhaps differences, with the approach you take
17 with the IOUs, with what the POUs are doing.

18 I did just want clarify something, as we move
19 forward, because there was some mention of goal setting,
20 and attribution. And I wanted to clarify that the CPUC
21 sets its goals as gross savings. So that attribution is
22 not done with setting those goals.

23 Attribution comes up when you look at
24 shareholder incentives for energy efficiency
25 investments, as well as program cost effectiveness.

1 And then, also, on the issue of kind of the
2 timing when EM&V comes up, I think again we need to --
3 the Commission, in a couple of areas, has tried to speed
4 up getting some of that information.

5 And so, for example, to do the shareholder
6 incentives, we have to do an ex-post evaluation within
7 15 months. Also, the point of rolling portfolios is to
8 try to speed up some of that feedback loop.

9 And so, I think I'd want to go back to our team
10 and understand, given those changes, you know, which of
11 some of these questions around the lengthy time of the
12 EM&V are still relevant.

13 And so, I think that's one of my takeaways is
14 there are changes in the works and the question is if
15 parties say, those still don't get there, then that's
16 really what we want to get some feedback on. Thanks.

17 Oh, also, on the low-income program it was asked
18 how much is spent on low-income communities. I just got
19 a little information from our staff that in terms of the
20 IOU programs, it's around \$300,000 a year directly in
21 low-income programs. Sorry, \$300 million.

22 (Laughter)

23 CPUC COMMISSIONER PETERMAN: Yes, that would be
24 a very small percentage. \$300 million is spent directly
25 on low-income programs. And we have low-income

1 customers who take advantage of some of the other
2 programs, and that might be upwards to about \$350
3 million. That's based on our definition of low-income.
4 That's not the disadvantaged community metric, but we
5 could go back and get that information.

6 COMMISSIONER MC ALLISTER: Great, thanks.

7 So, anybody else from the dais? Are we good?
8 Okay.

9 So, we have four cards. First, Rick Counihan
10 from Nest Labs. Come on up to the dais.

11 MR. COUNIHAN: Commissioner, I don't have
12 questions for this panel. I just put my card in for
13 later on today.

14 COMMISSIONER MC ALLISTER: Oh, okay, which panel
15 did you want?

16 MR. COUNIHAN: I can do it now or --

17 COMMISSIONER MC ALLISTER: At the end. Sure,
18 why don't you go ahead.

19 MR. COUNIHAN: Thank you very much,
20 Commissioners. Thank you for having me here today.

21 The points I was going to make, I thought will
22 be at the public comments section at the end, but I'm
23 happy to do them now. And I appreciate you giving me
24 the opportunity.

25 I just wanted to point out that many of the

1 policy goals we're talking about here can be helped by
2 the new generation of thermostats that are available out
3 in the marketplace.

4 Oh, excuse me, let me introduce myself.

5 COMMISSIONER MC ALLISTER: Could you identify
6 yourself, yeah.

7 MR. COUNIHAN: Yes. My name is Rick Counihan.
8 I work for Nest Labs, which has created the Nest
9 thermostat.

10 But there are other smart thermostat
11 manufacturers out there. And I feel that smart
12 thermostats are a relatively unplucked, low-hanging
13 fruit and is relevant to all of your jurisdictions.

14 Because as the CEC is going about its updating
15 of the building codes, it's a relevant topic there. The
16 IOU and the POU energy efficiency programs, it's a
17 relevant topic there.

18 And I actually think what we haven't done --
19 we've done a fair amount of research and other people
20 have done research on the energy savings of installing
21 these thermostats. And we've seen -- we've got four
22 studies, and I'll submit them later for the record.
23 We've got four studies that show between 10 and 15
24 percent savings on both heating and cooling.

25 But they weren't done with -- they were not

1 stratified by income. And I believe that there is an
2 opportunity here, also, for the low-income programs in
3 the State to benefit from the use of these thermostats.
4 We've have to prove that out, we'd have to test it out.

5 We, at Nest, are right now trying to run some
6 pilots with weatherization programs in other states.
7 But, you know, if you're looking at putting solar on the
8 roof of low-income housing, putting a smart thermostat
9 is a lot more less expensive, probably can be more
10 broadly sent out there. And it's totally compatible
11 with the other low-income measures that are typically
12 done in, you know, a weatherization situation.

13 So, my plea is just that you keep this option,
14 technology option in mind. And we will be submitting
15 comments for the record, including the studies that show
16 the savings to date.

17 COMMISSIONER MC ALLISTER: Great. Rick, are you
18 playing in the -- or looking to play in the demand
19 response market, in terms of aggregating customers who
20 have your product and bidding those into the market,
21 should it exist?

22 MR. COUNIHAN: So, our thermostat has the
23 capability of providing demand response. To date, we've
24 mostly been working with our utility partners on that
25 and not been doing that directly.

1 COMMISSIONER MC ALLISTER: Okay, thanks. Next
2 card -- thank you for being here, appreciate it.

3 Melanie Gillette, from EnerNOC

4 MS. GILLETTE: Thank you. It's nice to see all
5 of you today, and I appreciate the opportunity to make
6 some brief comments. Melanie Gillette, with EnerNOC.

7 We've been primarily focused in California on
8 the demand response side, but in the last couple of
9 years we've developed some strong offerings on the
10 energy efficiency side, as a lot of you know.

11 And I'll try and keep my comments very brief and
12 submit the bulk of my comments in written comments. I
13 know we're running a bit behind time.

14 I just wanted to thank all of you for the work
15 that California has already done in this area, both
16 privately and through utility programs.

17 But as has been acknowledged by many of you,
18 most of you today, there's more to do to meet these
19 ambitious goals of our Governor.

20 In the draft action plan, we would just like to
21 encourage more active development of commercial energy
22 benchmarking across the State. I know that there's a
23 placeholder for benchmarking. Want to make sure that
24 commercial benchmarking is included.

25 And we do see that the main growth areas for

1 energy efficiency are customers who have been overlooked
2 by past approaches. One of the groups that we're
3 focusing on, and the PUC has focused on this as well, is
4 the small and medium business customers.

5 The new goals encourage the State to explore
6 innovative program areas. We would like to see
7 behavioral energy efficiency, as Commissioner
8 McAllister's indicated, and several of the panelists
9 have also discussed, for business customers. We know
10 that that is a strategy in the draft plan, we'd just
11 like to make sure it includes business customers.

12 In the realm of behavioral efficiency, there are
13 wide scale programs that have been deployed in other
14 territories that use business benchmarking, energy
15 analytics, and low or no cost operational
16 recommendations. We'd like to include those in our
17 public comments, and in our written comments, and also
18 talk to you about those at a later time.

19 We also think that there's an opportunity to
20 include behavioral demand response in order to build on
21 the investments the State's made in AMI.

22 One of the last comments I'll make here is that
23 we haven't heard a lot, at least I don't think we've
24 heard a lot today about the Senate Committee is
25 considering AB793. But we think that that is a really

1 positive direction because it advances a lot of the
2 draft plan's goals by encouraging energy management
3 technologies across homes and smaller businesses. So,
4 we're supportive of that.

5 And I'll save the rest of my comments for
6 written. Thanks for the opportunity.

7 COMMISSIONER MC ALLISTER: Thanks for being
8 here, appreciate it.

9 The next card, Lisa Schmidt, from HEA.

10 MS. SCHMIDT: Good morning, barely. My name's
11 Lisa Schmidt. I'm President of HEA. And we're a
12 software startup in Silicon Valley.

13 We founded our company on the belief that you
14 could take smart meter data, glean some useful
15 information out of it, help people save energy, and then
16 track those energy savings.

17 We've come to realize, after analyzing about
18 4,000 homes in Northern California, through community EE
19 programs, that a real benefit to the entire industry
20 would be able to set up a standard, hopefully
21 administrated by the CEC, to verify those savings using
22 smart meter data.

23 And this would give us four immediate benefits,
24 we believe. You'd be able to adopt technologies quicker
25 because you could measure how much energy they save

1 based on standards through AMI data. You'd be able to
2 have much more accurate analysis of energy savings
3 because you can compare it to baselines. You'd be much
4 less expensive MME and, hopefully, be able to accomplish
5 it must faster. And, finally, it would open up EE
6 programs to all residents.

7 So, if you can measure the savings via the smart
8 meter, as opposed to attribution, or past surveys,
9 you'll be able to have people in multi-family houses,
10 people in rental houses. You'll be able to target the
11 EE savings to them that's very, very specific.

12 We have some visions on how to do this. I'm
13 sure other people have some visions on how to do this.
14 But we really believe this would open up the market to a
15 lot of new EE opportunities. And it's something that we
16 believe the CEC has the power to do and we would like to
17 contribute. Thank you.

18 COMMISSIONER MC ALLISTER: Thanks very much.

19 Kevin Messner, from AHAM.

20 MR. MESSNER: All right, thank you. And if you
21 have some other cards --

22 COMMISSIONER MC ALLISTER: I have one more card,
23 actually, that just came in.

24 MR. MESSNER: I'm happy at this time to let them
25 go first, because I have some comments that are directly

1 specific to the PUCs, so maybe she'll be back. If not,
2 I'll go ahead and save them, if that's okay.

3 COMMISSIONER MC ALLISTER: You know, I'm not
4 sure. I think she was asking folks not to get too
5 specific about things that are on the docket today.

6 MR. MESSNER: It's not on the docket. But I can
7 do them now, if you want.

8 COMMISSIONER MC ALLISTER: You know, let's let
9 the last speaker come up.

10 MR. MESSNER: Okay.

11 COMMISSIONER MC ALLISTER: Anna Solorio, from
12 the Efficiency Council.

13 MS. SOLORIO: Good afternoon. Anna Solorio from
14 the Energy Efficiency Council. Not to be confused with
15 Steve's group.

16 COMMISSIONER MC ALLISTER: Oh, okay.

17 MS. SOLORIO: We're low income. Represent
18 contractors, subcontractors that implement the energy
19 savings assistance program, and other low-income direct
20 install and moderate-income direct install.

21 I just want to mention that last year our
22 network, plus serviced 300,000 low-income families.
23 That's 300,000.

24 I want to -- that's a deep reach into the low-
25 income energy efficiency potential.

1 I want to reiterate and just thank Steve and
2 Jason for some of their comments because they're spot on
3 in terms of low income. And some of the challenges and,
4 I think, opportunities maybe we can consider to increase
5 the penetration in energy efficiency. Excuse me, I'm
6 really nervous.

7 COMMISSIONER MC ALLISTER: Don't, you're --

8 MS. SOLORIO: You guys are an awesome -- you're
9 an impressive group, so I'm not used to speaking in
10 front of you.

11 Just I just want to mention that because of the
12 reach we have, there's a large potential for us to do
13 deeper energy education and that is focusing on changing
14 behavior of the family. And we can do that because we
15 hire people that are culturally sensitive, come from
16 those groups, speak the language. And in California,
17 there's a multitude of languages, especially in the low-
18 income community. So, we see great potential increasing
19 behavioral change at that level.

20 And also would like to support using better
21 technology, newer technology. Appropriate data we can
22 gather from that home and use that to customize what we
23 install. So, I'd like to support that.

24 And also, Jason measured, I think if you're
25 trying to reach these targets and goals, I would

1 emphasize not to ignore the NEBs, the traditional non-
2 energy benefits. Because cost effectiveness can be a
3 dual-edged sword, if it's not cost-effective to repair a
4 window that has holes in it. So, changing out your HVAC
5 is not going to reach what I think makes common sense
6 goals.

7 So, I think you have to be really aware of t
8 hose non-energy benefits or, more specifically, cost
9 effectiveness. Because if you can look at large target
10 goals and give flexibility to reach those goals, I think
11 you service the community. I think you service low-
12 income community. And I think you can also reach your
13 energy efficiency targets.

14 The last thing I'd like to say that if you're
15 looking at a market transformation, you really need to
16 focus on some workforce development. And I second the
17 HVAC training. Because we'd love to be able to go in
18 and treat homes and upgrade the HVAC system, which is a
19 leaky HVAC, or vents, or a major -- a lost opportunity.

20 So, thank you very much for my comments. And
21 I'd like to offer our association as an opportunity, if
22 you have any questions regarding servicing the low-
23 income communities. Thank you.

24 COMMISSIONER MC ALLISTER: Thanks very much.
25 I'd encourage you to put in your comments into the

1 record, written comments, that would be great. Thank
2 you very much.

3 Okay, last -- we're only a couple minutes late
4 here, so last speaker, Kevin Messner.

5 MR. MESSNER: Thank you, Commissioner
6 McAllister. I'm Kevin Messner. I represent the
7 Association of Home Appliance Manufacturers.

8 So, I just want to start off, CEC, I feel, with
9 the appliance industry has been done -- has an interest
10 and desire on energy efficiency and I feel like we have
11 a seat at the table.

12 So, my comments, though, are directly mostly to
13 PUC and the Governor's office, because I think this is a
14 great panel, because it all needs to be working
15 together.

16 The thing that's important, I think, to realize
17 is that a lot of these assumptions may be that the
18 current efficiency programs are going to continue as
19 they are. And the PUC takes action, and I'm just going
20 to be frank, and I know we're out of time, takes actions
21 that actually block and hurt efficiency programs.

22 So, just that really needs -- these barriers
23 need to be reduced. We've joined up with NRDC and
24 retailers on the bills the last two sessions, to try to
25 mandate that the PUC does these types of things to

1 reduce the barriers.

2 Two quick examples. DR, the useful life of that
3 refrigerator is 11 years, 12 years. That boggles my
4 mind where that number comes from. We've talked about
5 this for two years and no changes have happened.

6 Recently, come up with a disposal appliance
7 refrigerator process that basically will kill the
8 disposal efficiency rebate programs, which are just all
9 over the country. Highly effective and very well
10 adapting on energy efficiency.

11 So, this ex ante reviews, DMV we've talked
12 about. So complicated. I wonder how many dollars are
13 spent on EM&V where -- and is that kind of complicated
14 analysis needed to get to three, four, or however
15 significant digits are needed to actually get to an
16 answer.

17 So, I'd really like to look at trying to
18 simplify EM&V, use that money towards, actually,
19 efficiency programs. And not have it set up as a
20 barrier to efficiency programs.

21 Data. Data is a great thing. Appliance
22 industry is here to help. We worked with CEC, their
23 database modernization there, doing really good things,
24 we think on this.

25 PUC, useful life, the disposal program, where no

1 one uses a ten-year refrigerator afterwards. I have no
2 idea where that came from. We have data that exists all
3 over. Love to work with you on that.

4 And last, but not least, below savings codes,
5 below code savings. There's a lot of areas that could
6 be worked on today. A lot of the low-hanging fruit, of
7 the low-hanging fruit is to get the barriers removed
8 that exist today.

9 And the appliance industry is willing and
10 anxious to work. We'd love to have the Governor's
11 leadership and PUC's leadership. CEC, I think, does
12 have -- is doing a lot, too.

13 So, those are my comments and, hopefully quick.
14 I still have 25 seconds left, but I'll finish.

15 COMMISSIONER MC ALLISTER: Thanks. Yeah, we
16 didn't plant that, by the way.

17 (Laughter)

18 MR. MESSNER: Well, Commissioner McAllister
19 usually does not -- usually do not have a lot of good
20 things but today, yeah, it looks like --

21 COMMISSIONER MC ALLISTER: I appreciate that.

22 MR. MESSNER: I was going to say we have a seat
23 at the table, but it's usually the high chair in the
24 corner. But I left that outside, you know.

25 COMMISSIONER MC ALLISTER: Yeah, well, thanks.

1 Let's see, so I guess I probably didn't say it at the
2 beginning. You know, I was kind of hoping and maybe
3 assuming that the comments would have to do with the
4 particular topics we were talking about, the panel we
5 were just having.

6 Like to-code, for example, is the first panel in
7 the afternoon and we'll be digging into that. So,
8 hopefully, those of you that have views about that will
9 stick around and comment then.

10 So, I don't want to short change the second
11 panel of the morning. That was kind of, I think, the
12 biggest one, perhaps the meatiest one of the day, but
13 certainly of the morning.

14 So, yes, so anyway, well, thanks for all of you
15 here who are going to submit the written comments. I
16 know they're going to be thoughtful and extensive.

17 So, let's move on to the next panel. I think
18 under-appreciated is the fact that the Governor's third
19 goal also specifies cleaning up our heating fuels.

20 And there are really two primary aspects of
21 that. One is really figuring out how to improve the
22 carbon profile of our natural gas, biogas, for example.

23 And the second, sort of flip side of that is
24 what the electrification potential for heating actually
25 looks like.

1 MS. EDSEN: Commissioner McAllister, I need to
2 apologize. I need to step away and return to my office.
3 But Tom Doughty's here, the Director of the Regulatory
4 Affairs for the ISO. If you don't mind --

5 COMMISSIONER MC ALLISTER: Absolutely. Tom,
6 come on up, yes. Thanks for being here in the morning,
7 Karen, we really appreciate it.

8 So, smaller panel this time, all right. Peter's
9 up again. Don't repeat yourself.

10 And we'll get going. Let's see, who's first?

11 MS. RAITT: Obadiah Bartholomy is first.

12 COMMISSIONER MC ALLISTER: Thanks, Obadiah.

13 MS. RAITT: Go ahead.

14 MR. BARTHOLOMY: Okay, do you want me to go
15 ahead and present from this view?

16 MS. RAITT: Either way.

17 MR. BARTHOLOMY: Okay. Well, thank you for the
18 opportunity to come and speak to you all today. I
19 really appreciate it. My name is Obadiah Bartholomy.
20 I'm with the Sacramento Municipal Utility District.

21 And I'm going to be sharing with you some of the
22 analysis we've been doing, looking at the opportunity
23 for electrification of natural gas end uses in
24 buildings, from a carbon reduction perspective.

25 So, the next slide. So, we started getting

1 interested in this within SMUD's Climate Change Program
2 in 2011, with the publication of the CCST study,
3 California's Energy Future, the View to 2050. And that
4 analysis was looking at all of the things that we would
5 need to do as a State to get to the 80 percent below
6 1990 level carbon reductions.

7 And I know the Energy Commission and some of the
8 other State agencies were involved in that study.

9 One of the things that struck us in that was
10 that it said that to get to those targets we would need
11 to not only de-carbonize the electricity system, but
12 also achieve about 70 percent electrification of
13 building natural gas heating and water heating end use
14 electrification.

15 More recently, the E3 Pathways analysis has come
16 at that a little bit differently. But looking at it in
17 2030, assuming biomass being used for liquid
18 transportation fuels, they stated that over 50 percent
19 of new sales of space conditioning and water heating are
20 electric in 2030, on their straight line scenario.

21 That was one of a couple of different scenarios
22 and one of their forks in the road as to whether you put
23 that biomass into natural gas or into transportation
24 fuels.

25 The next slide. Based on that analysis and

1 looking out into the future, we did some work to look at
2 whether there was actually a carbon reduction
3 opportunity today, based on the efficiency of the
4 technology. And if not, kind of when that would come
5 about based on de-carbonization of the electric sector.

6 And what we found was that, indeed, for the heat
7 pump water heater technology area, and also heat pumps
8 for space heating, that there's actually nearly a 50
9 percent carbon reduction in carbon today, based on their
10 current efficiency.

11 And we're actually, now, seeing devices coming
12 to market that are achieving a coefficient of
13 performance of four, versus the three that's shown in
14 the chart here. So, achieving even greater carbon
15 reductions that are shown here.

16 This accounts for today's marginal grid mix and
17 our marginal RPS --

18 CHAIR WEISENMILLER: Yeah, so you're basically
19 assuming that 25 percent of the time natural gas is not
20 on the margin? Or what percentage of the time for the
21 SMUD system do you assume natural gas is on the margin?

22 MR. BARTHOLOMY: So, this would assume that each
23 kilowatt hour that we sold to someone who had
24 electrified an end use, we would have to procure an
25 additional 25 percent renewable. So, it might not

1 coincide hour-for-hour with the natural gas end use.

2 CHAIR WEISENMILLER: Okay, but just generally
3 you're assuming about 25 percent renewable on the margin
4 right now?

5 MR. BARTHOLOMY: The RPS requirement, again, is
6 a requirement on our annual retail sale.

7 CHAIR WEISENMILLER: Right, it's load -- it's
8 resources, not marginal, right?

9 MR. BARTHOLOMY: Right.

10 CHAIR WEISENMILLER: Okay, but you're
11 assuming -- fine.

12 COMMISSIONER MC ALLISTER: Bundled resource,
13 right?

14 MR. BARTHOLOMY: What's that?

15 COMMISSIONER MC ALLISTER: You're comparing
16 bundled kilowatt hours?

17 MR. BARTHOLOMY: Yeah.

18 COMMISSIONER MC ALLISTER: Yeah, okay.

19 MR. BARTHOLOMY: So, looking forward, in 2020 we
20 would have a 33 percent RPS requirement. In 2030,
21 We're looking at maybe a 50 percent RPS requirement.
22 So, improving on that carbon reduction as we go forward
23 in time, both from the grid mix and from the technology
24 efficiency.

25 The next slide. And sorry, that last slide was

1 comparing to a very efficient, on-demand gas water
2 heater.

3 COMMISSIONER MC ALLISTER: Obadiah, could you
4 talk about sort of where -- sort of the cost
5 effectiveness issues here? Because, you know, we heard
6 from Greg earlier that part of the battle here is that
7 gas is cheap. So, maybe under what scenarios would the
8 cost effectiveness kind of lines cross in a way that's
9 helpful for policy. Maybe I just led you into your next
10 slide.

11 MR. BARTHOLOMY: Yeah, that's my slide. If you
12 can imagine up there a very complicated chart that talks
13 about cost effectiveness. I'm not sure if you all
14 happen to have printouts of these, but for some
15 reason --

16 MS. RAITT: Yeah, I'm sorry. I'm not sure what
17 the problem is.

18 MR. BARTHOLOMY: It's not showing up on the
19 screen.

20 MS. RAITT: But people do have hardcopies.

21 MR. BARTHOLOMY: So, this chart is answering
22 your question on whether or not these are cost
23 effective. And this chart was looking at comparing a
24 heat pump water heater with an assumed \$1,000 premium
25 for installation over a natural gas tank-based water

1 heater, which is about what we've seen in our heat pump
2 water heater program that we've been deploying for our
3 electric customers.

4 And so, this assumes payoff of that heat pump
5 water heater premium over a 13-year period, which was
6 the assumed lifetime of the technology.

7 And we looked at four different scenarios of gas
8 prices, ranging from 75 cents a therm to \$1.50 a therm.
9 For reference, my own residential gas prices range from
10 \$1.00 to \$1.20 a therm over the last several years.

11 So, today's heat pump water heater efficiencies
12 are in the range of between two and a half and four, in
13 terms of a coefficient of performance. So, that's a
14 gray bend on your black and white printouts.

15 And it just shows that depending on what your
16 electricity price per kilowatt hour is, within those
17 dollar to dollar twenty-five per therm range that you do
18 have cost effectiveness below ten cents a kilowatt hours
19 for the dollar a therm, and below 14 cents a kilowatt
20 for the \$1.25 a therm.

21 And if gas prices increase to \$1.50 a therm, we
22 would expect cost effectiveness out beyond that 14 cents
23 a therm -- or 14 cents a kilowatt hour, excuse me.

24 The next slide. So, based on our analysis
25 showing that it saved carbon today and would increase

1 the amount of carbon saved in the future, and that it
2 appeared to be cost effective based on our current rates
3 in Sacramento, and especially based on time of use rates
4 that are coming, we worked with ICF to look at turnover
5 rates, to see when would we need to go about starting to
6 try and drive this electrification, if we wanted to
7 achieve the goals that were called for in the California
8 Energy Future Study. And really found that we actually
9 need to start quite soon, based on stock turnover rates,
10 in order to get adoption of this technology to the
11 penetration levels called for. So, within the next five
12 years.

13 The last slide. So, some of the barriers to
14 deployment. I mentioned the rate structure. So, the
15 tiered rate structure is very harmful for thinking about
16 electrification at all. You really want to be under
17 some kind of a time of use or, ideally, a real-time
18 pricing structure. Especially, as we're seeing solar
19 prices continue to fall. An article, the other day,
20 saying First Solar says they'll be under a buck a watt
21 for tracking systems all fully installed, with no ITC.

22 That's going to drive very aggressive adoption
23 of solar and very low daytime costs for power. And
24 these are a technology that has built in storage within
25 them. They're about one-third to one-half of the load

1 of an electric vehicle. So, not an insubstantial load.
2 But we really need a rate structure that reflects that.

3 We also have a Title 24 and TDV preference for
4 natural gas that needs to be examined and, really, the
5 flexibility that's inherent in these technologies needs
6 to be acknowledged and valued within that framework for
7 this to be something that could make sense in building
8 codes.

9 Also, the embedded rate structures within the
10 TDV calculations are something that would need to also
11 reflect either a time of use or a real-time pricing type
12 of rate structure for this to make sense.

13 Lastly, the higher upfront cost means that we
14 probably need some kind of an incentive or rebate to get
15 people to install these, or else be installing these in
16 new construction. And that really requires and
17 efficiency framework that values this outcome, values
18 carbon reduction, values flexible loads.

19 So, really, if we had some kind of an energy
20 efficiency goal or standard that was focused around a
21 certain amount of carbon reduction as being an
22 objective, that would create a lot better alignment
23 towards getting this kind of activity to become a more
24 prevalent structure of compliance.

25 Thank you.

1 COMMISSIONER MC ALLISTER: Thank you.

2 Let's see, who do we have next?

3 MS. RAITT: Next is Allison Smith.

4 COMMISSIONER MC ALLISTER: There we go, awesome.
5 Go ahead.

6 MS. SMITH: Thank you for inviting me here,
7 today, to speak on behalf of SoCalGas.

8 SoCalGas has been looking at what role natural
9 gas can play in California's long-term energy mix, given
10 the focus on low carbon targets for 2050. Ninety
11 percent of the homes in our service territory use
12 natural gas for space and water heating, and it's
13 because of the efficiency of the equipment, as well as
14 the cost comparison, as we've heard other speakers talk
15 about earlier.

16 We engaged E3 to do a study on what role can
17 natural gas play that sort of built off of their earlier
18 work that was published in the 2012 *Science Magazine*
19 article.

20 And we asked them to look at if we looked at an
21 opportunity to de-carbonize the pipeline, what could
22 that mean for reaching the goal?

23 And they found that there were pathways that you
24 could use this de-carbonized natural gas, similar to de-
25 carbonizing electricity, that can get you to the 2050

1 target.

2 Some of the key findings were that when you do
3 this sort of integrated mix, where you do have heavy
4 electrification, especially in passenger electric
5 vehicles, and in some other areas where it makes sense
6 to electrify, and then use lower carbon heating fuels,
7 and low carbon transportation fuels that you really can
8 achieve the climate change goals.

9 And you can get reductions in sectors that are
10 very challenging from an electrification stand point.
11 For example, we know that there's a lot of progress
12 that's been made in the small electric vehicles, in
13 passenger vehicles. But in the heavy duty sector
14 natural gas, using renewable natural gas as the fuel
15 source actually provides a great opportunity to get to
16 the heavy duty sector.

17 In existing homes, where as I mentioned, there's
18 a substantial number of homes that are natural gas for
19 heating fuels, it makes a lot of sense to pursue
20 renewable natural gas and low carbon gas in those areas,
21 rather than looking at the cost of replacing and
22 retrofitting homes that aren't built for that electric
23 load.

24 So, there's a balance of places where this low
25 carbon natural gas makes a lot of sense. And working

1 with the electrification of other areas makes sense as
2 an integrated solution to get to the 2050 target.

3 We also found, and I'm not going to spend a lot
4 of time talking about this, but that power to gas
5 creates another interesting opportunity to integrate the
6 natural gas and the electric grids. Where you would
7 take the excess renewable electricity and convert it
8 into useful low carbon gas, either hydrogen or a
9 methane, and then we can store that in our pipeline, use
10 it for residential, and commercial, and industrial
11 applications. Or, use it to generate electricity at
12 times when demand is higher. So, it's another benefit
13 to using this approach of low carbon gas, and de-
14 carbonized electricity. It really can make sense for
15 California long term.

16 In the E3 study -- one of the questions you
17 asked was about what are the sources of the potential
18 source of renewable natural gas supply?

19 And in the E3 study, they focused primarily on
20 the 2011 DOE billion-ton study to look at what resources
21 were available. And they found that in California we
22 have a certain amount of organic waste that would be
23 available.

24 But if you look nationally at what's in the DOE
25 study, and you look at us using a proportional amount of

1 those resources based on population of California
2 compared to the U.S., that there would be sufficient
3 resources to meet this low carbon scenario.

4 And it was roughly 20 percent from organic waste
5 streams and another 20 percent from energy crops,
6 purpose-grown crops, like switch grass.

7 When we looked at the -- this original E3 study
8 was looking at how do we meet that 2050 target and it
9 just used a straight line approach.

10 And so, by 2030, we'd be at about 34 percent
11 renewable natural gas under that study, looking at
12 available sources and the need to drive to the GHG
13 targets.

14 We'd hit 40 percent, which is the Governor's new
15 goal for 2030, in the 2032 to 2033 time frame. So, what
16 we're trying to look at right now is what strategies
17 we'd need to pursue to accelerate and achieve the 40
18 percent reduction by 2030. Just as you're looking at,
19 it will be more accelerated energy efficiency, faster or
20 deeper turnover of the transportation sector to
21 renewable fuels. And as well as accelerating
22 opportunities for biogas.

23 When we accelerate those opportunities for
24 biogas, we are looking at possibly more expensive
25 sources of gas, looking at some of the gasification

1 options. And so, we're trying to balance what is the
2 cost with the availability of that supply?

3 We have looked at other resources, and I'll
4 share some information in written comments, for you, on
5 other studies. The Bioenergy Association of California
6 had done a study or actually used a study by UC Davis
7 that identified the potential for California-based
8 resources for renewable natural gas.

9 But there was also a National Petroleum Council
10 Study and an American Gas Foundation Study that looked
11 at the potential for national production of biogas for
12 the transportation sector in the case of the NPC study
13 and, more broadly, in the AGS Study for End Use
14 Applications.

15 And so, I'll provide you some information from
16 those studies that we can submit for the record.

17 When we looked at the questions you asked about
18 is there an economic advantage for using biogas in
19 buildings versus transportation, today there are market
20 structures in place that incent the use of biomass and
21 biogas for transportation and for renewable power
22 generation.

23 The RPS provides the benefiting of having --
24 producers can sign long-term contracts that give them
25 more market certainty, so that they can develop their

1 projects.

2 On the transportation side, you have the Federal
3 Renewable Fuel Standard, and you have the California Low
4 Carbon Fuel Standard, both of which create a market.

5 Unfortunately, they're still kind of short-term
6 markets. The LCFS doesn't have as long a history and
7 there's still some uncertainty on what those prices are
8 going to be. So, in terms of developing the market,
9 it's still at a very early stage for those to create
10 sufficient market incentives for it to be a very deep
11 market.

12 But we have seen on the LCFS that in 2014, 20
13 percent of the transportation fuel for natural gas
14 vehicles came from renewable natural gas. And in the
15 last quarter, we understand that that's ramped up even
16 more.

17 So, as the LCFS market develops, it is going to
18 create a signal to use the renewable natural gas in the
19 transportation sector.

20 But we think that longer term you need to look
21 at where's the best balance of resources.

22 In the E3 study we found, as I mentioned before,
23 that transportation is certainly an opportunity, but
24 then there's also certain industrial processes that
25 require high heat, processes that really require natural

1 gas combustion. And so, using the renewable natural gas
2 in those sectors make a lot of sense. But also, using
3 it in the existing homes and commercial buildings, where
4 there's already deep penetration of natural gas, makes a
5 lot of sense there.

6 We need to do some more work on evaluating that
7 tradeoff, especially as we accelerate the time frame for
8 the GHG reductions. But it does make sense to consider
9 what role that renewable natural gas can play in terms
10 of the economic benefits.

11 I did want to make a comment on electrification.
12 There's an assumption that electrification will
13 definitely mean greenhouse gas reductions. And what
14 we've looked at, it really does depend on what
15 technology you're comparing.

16 When you compare the current technologies for
17 water heaters, the tank water heaters, if you move to an
18 electric water heater, compared to the natural gas water
19 heater, you'd actually increase greenhouse gas emissions
20 until you reach about 50 percent renewables in your
21 electricity mix. And that's comparing fossil natural
22 gas to 15 percent renewable electricity.

23 So, when we look at where's that tradeoff, we
24 need to consider, as you move to more renewable natural
25 gas, that will actually make that transition point

1 different. It will need even more renewable
2 electricity.

3 So, the automatic assumption that
4 electrification means a reduction in greenhouse gas
5 emissions is false and we really need to examine it more
6 on those technologies.

7 The other area with the residential that I'd
8 like to comment on, is on ZNE. We had looked at -- for
9 new homes, we had asked Navigant to do a study for us
10 that looked at the cost comparison under TDB for a home
11 that was mixed use, natural gas and electricity, and
12 full electrification.

13 And in those scenarios, the energy use in a home
14 that's all electric is actually higher than natural gas,
15 because the natural gas equipment is more efficient.

16 And so, the size of the PV that would be
17 required is quite a bit higher on the electric than with
18 the natural gas included. And so, that can also lead to
19 cost implications for builders and for consumers. And
20 so, we think having a mixed use home, with natural gas,
21 actually can be beneficial in the long run, in ZNE.

22 In addition, with the PV on rooftops, there are
23 limitations to where that can be placed. And so, when
24 we start looking at community generation, we also think
25 that natural gas can have a role in community

1 generation. Looking at using a mix of renewable and
2 fossil natural gas can help achieve those ZNE targets on
3 a community generation basis, as well.

4 COMMISSIONER MC ALLISTER: Thanks very much.

5 So, accumulating questions, but we're going to
6 hold off until after Peter. Go ahead.

7 MR. MILLER: Thank you very much. And I'll be
8 brief so we can move on to the questions and the
9 conversation. And it's unfortunate Amber Mahone wasn't
10 able to join. They've done some really great analysis
11 that really focuses on the long-term imperative of in
12 order to meet our long-term environmental goals, the
13 climate targets at 80 percent reductions by 2050, we
14 really have to move over that time period to very low
15 carbon energy use in buildings.

16 And that will require either renewable natural
17 gas, zero carbon natural gas, or electrification. And
18 renewable natural gas, while there clearly are
19 opportunities there, it's going to be either limited in
20 supply, on the biomass side, or relatively high cost on
21 the electricity gas side.

22 So, we think that over the longer term there
23 will be a need and a big environmental benefit from
24 shifting natural gas uses in buildings to electricity.

25 End uses are water heating, space heating,

1 clothes drying, pool heating and cooking, all of which
2 have electrification opportunities.

3 Now, in the near term, the environmental benefit
4 depends on the efficiency of the device and on the
5 carbon intensity electricity.

6 So, as was pointed out earlier, we have some --
7 all of our utilities are relatively, compared to the
8 rest of the country, low carbon. But some are more low
9 carbon than others. So, PG&E, which is about 25 percent
10 renewable, now, also has a substantial fraction of
11 nuclear and hydro power on its system, both of which are
12 zero carbon.

13 And so, and you compare a very low carbon
14 utility system, now. In some cases, those
15 electrification opportunities already provide a carbon
16 benefit. And over time, as the percentage of renewables
17 increases on all the utilities in the State, that will
18 increasingly be the case.

19 So, what does that mean in terms of policy going
20 forward today? It means we want to start earlier for
21 longer-lived devices. We want to get to a 2030 target
22 and a device has a 15-year lifetime, that means that
23 we'll want to start installing those devices over the
24 near term, over the next five years because those are
25 the devices that are going to be in place and operating

1 in 2030.

2 For shorter-lived technologies, water heater, a
3 clothes dryer versus a space heater, or a furnace, we
4 have a little bit longer to go before we really want to
5 start implementing those in order to reach a 2030
6 target.

7 We also -- the cost effectiveness is going to
8 improve over time as technologies get better and lower
9 cost. So, we can start earlier on the cost
10 effectiveness technologies, the ones that are cost
11 effective today.

12 It certainly means that we need to start
13 planning, looking at programs and policies that can get
14 us to 2030.

15 And then, finally, we certainly -- well, the
16 CEC's got the premier clean energy RD&D program in the
17 country -- the state level RD&D program in the country,
18 and I think that's an important area to really be
19 focusing on, now, for electrification because there's a
20 lot of opportunities that aren't yet commercially
21 available, but could be given some investment.

22 And with that, I'll end my comments and feel
23 free to join in the conversation.

24 COMMISSIONER MC ALLISTER: Thanks, Peter.

25 Go ahead.

1 CHAIR WEISENMILLER: Yeah, actually, first, I
2 need to correct you. So, PG&E, you really have to look
3 at what's the marginal fuel. And PG&E, on the margin
4 natural gas is about 75 percent of the time, even though
5 it's resource mix, it might be 75 percent non-gas.

6 Again, you stack up hydro and nuclear baseload.
7 So, it's not like you -- if you have another 100
8 megawatts, you're not going to get more hydro, you're
9 not going to get more nuclear, you're not going to get
10 more renewables, except in over-gen. But you're going
11 to get it with natural gas.

12 So, ultimately, on the end use now, today, this
13 is not saying later, today once you go through the
14 primary energy use side of stuff, you know, you can
15 either burn, say, natural gas in a power plant, you
16 know, with that 40 percent efficiency, and then ship it
17 out on a transmission line, and then send it to an
18 electric heater, space heater, electric water heater,
19 which is pretty dismal, or you can use it in your house.

20 And so, that isn't to say over time we're not
21 going to have to shift to all electric. But I'm just
22 saying as of today, no, you're going to have more
23 greenhouse gas emissions if you do it today.

24 Now, having said that, we have to deal with --
25 certainly, one of the things E3 flagged is not only the

1 need to do electric space and water heater over the
2 longer term, but to really confront, now, the issues on
3 commercialization of heat pumps.

4 You know, that certainly, in Art Rosenfeld room,
5 I mean we got rid of electric space and water heating,
6 you know, in the 1970s for good reason. And again, I
7 think Art would certainly echo that.

8 So, it's really, we really need the efficiency
9 of the modern heat pumps, you know. And so the
10 commercialization there, and that was deemed -- if you
11 look at E3's high risk table, one of the risks is
12 commercialization.

13 So, we have to be -- that's what we really have
14 to do in the next five years is to work through the
15 commercialization so that, particularly, in areas like
16 the South Coast, where we're going to need pretty
17 dramatically in the post-2020 period to space and
18 water -- you know, one way or another to go to post-
19 combustion down there.

20 Again, we need to be setting up that, you know,
21 moving that out at this stage. But like I said, if you
22 just, tomorrow we replaced every gas water heater in the
23 State with electric, I know the resistance would be
24 horrific. But, you know, if basically we could do it
25 with heat pumps, that would be good. But we have to

1 make sure the technology's going to be there when we
2 really need it.

3 So, certainly, the SMUD commercialization stuff
4 on that is very important.

5 MR. MILLER: Yeah.

6 CHAIR WEISENMILLER: You know, we need to be
7 doing that. At least some of the stories I hear from
8 other places is that there are certainly performance --
9 reliability issues, I guess is a better way of phrasing
10 it, for some of the heat pumps.

11 What's your experience been on that?

12 MR. BARTHOLOMY: Yeah, so I think the prior
13 generation of heat pumps that we saw in the 80s and 90s,
14 there have been several failed attempts at
15 commercializing really reliable technologies that
16 customers liked, in particular relative to space
17 heating.

18 But I think what we've seen from the newer
19 generation of technologies, are technologies that
20 operate much more efficiently.

21 GE is coming out, right now, with a unit that's
22 got a COP of 2.9, so three times the efficiency of air
23 resistance heat pump.

24 We have available heat pumps for space heating
25 that are already at COPs of 3, even a COP of 4, with

1 variable speed technologies within them.

2 So, I think the efficiencies are there. I think
3 in terms of the reliability, this current generation
4 that we're working to commercialize right now is
5 relatively new. So, these units have only been on the
6 market for the last three or four years. So, there's
7 perhaps some question about what their long-term
8 reliability will be over their life and whether they
9 will achieve the 13-year life that they're rated for.

10 But I think they're a much different generation
11 of heat pumps than we've had from 30 years ago. And
12 there are a lot of manufacturers working very hard on
13 this within the U.S., and a lot of European and Japanese
14 manufacturers who have been working on this for quite a
15 number of years to improve the reliability of these
16 devices.

17 CHAIR WEISENMILLER: Well, certainly, the more
18 SMUD can do in terms of that sort of testing, roll out
19 and ensure the customers that reliability issues will be
20 dealt with. You know, it's really important at this
21 stage, as part of that transition of a longer term.

22 MR. BARTHOLOMY: I do want to clarify, though,
23 when you're talking about the carbon reduction question,
24 I think with the efficiencies we're seeing for
25 commercial units today, there is carbon reduction, as

1 the analysis that I presented showed.

2 CHAIR WEISENMILLER: Right.

3 MR. BARTHOLOMY: If you want to talk about
4 resistance units, that would fundamentally limited to
5 100 percent efficiency as their threshold, yeah, I would
6 agree with you that you would need something more than
7 50 percent renewables on your margin to be able to be a
8 carbon-saving technology.

9 So, my analysis was really on the more efficient
10 generation of heat pumps that we're incentivizing our
11 electric customers to take advantage of today.

12 CHAIR WEISENMILLER: Yeah. No, that was
13 interesting, particularly if it is -- if 25 percent
14 renewables are on the margin or 25 percent of -- if gas
15 is 75 percent, you know, if that COP makes it work, then
16 that's certainly a pretty interesting number and you get
17 back to reliability and economics.

18 COMMISSIONER MC ALLISTER: Yeah, so I wondered,
19 actually along those lines, I mean so we're talking
20 about -- you mentioned TOU rates sort of being critical
21 for making the cost effectiveness work. But that also
22 means that the reason those rates are high is that, you
23 know, we're in the middle of the afternoon, and when
24 everybody wants to use their AC.

25 And so, I guess I just kind of wonder how you --

1 sort of the demand response capability question and are
2 you kind of, you know, working on different technologies
3 to try to avoid the load issues?

4 MR. BARTHOLOMY: Yeah, I mean, from an air
5 conditioning perspective the technology's the same. We
6 basically -- a heat pump is basically taking that air
7 conditioner piece and making it use -- work during the
8 winter as a heater, by reversing the flow.

9 So, it would have the same demand response
10 questions and time of use responsiveness questions that
11 a normal HVAC program would have. And we're absolutely
12 working to encourage the use of smart thermostats and
13 encourage connecting customer data to outcomes with our
14 rate structures that we're proposing to roll out here,
15 in the next couple of years, moving to a time-of-use
16 structure that will encourage off-peak usage. And
17 working with customers to make their building shells as
18 efficient as possible, to make as much of that demand
19 shifting feasible.

20 COMMISSIONER MC ALLISTER: Right, so the more
21 you can integrate all of that, the better, obviously.

22 I guess, so it sounds like you're planning to
23 rely on rates, per se, sort of time-of-use rates to sort
24 of send that right signal.

25 But are you also looking at, you know, direct

1 control and sort of more aggressive load control like
2 that?

3 MR. BARTHOLOMY: We do have a variety of demand
4 response programs with varying levels of controllability
5 that we're piloting this summer. And we have some from
6 commercial that differ from the residential, and we're
7 evaluating customer opt-out from the signal, from the
8 utility, and how many opt-outs for what incentive level,
9 and how many degrees of setback customers are willing to
10 accept.

11 So, that's an open question right now. Our
12 preference is to have the customers have the choice to
13 be as comfortable as possible, and make a choice based
14 on the economic signals that they're getting. But we
15 also have to make that a reliable resource for us on the
16 supply side.

17 COMMISSIONER MC ALLISTER: Yeah, because I want
18 to kind of link up the ISO with that conversation, too.
19 You know, when they push the button or somebody pushes
20 the button, you know, and SMUD pushes the button, what
21 do you have to offer to the system, and getting those
22 numbers right I think is really, really important. And
23 they're really looking forward to all the production of
24 those efforts. It's super, super important.

25 Did you want to -- Tom, do you want to --

1 MR. DOUGHTY: On another front. Allison, you
2 talked about the fuel cell vehicle opportunity. The
3 ISO's run some numbers that indicate how many megawatts
4 of over-generated power could go into electric vehicles.
5 Let's put fuel cells aside for a minute.

6 For every 1,000 megawatts of over-generated
7 electricity, we think we could power between 300,000 and
8 600,000 battery powered electric vehicles.

9 Okay, so 1,000 megawatts, 300,000 to 600,000
10 EVs.

11 Now, some of you have probably seen that we may
12 have as much as 10,000 megawatts of over-generated
13 energy in the coming ten years. So, you can kind of do
14 the math there and see how many electric vehicles that
15 could represent.

16 My question for you is, as you take a look at
17 hydrogen production, and assuming that the hydrogen fuel
18 cell vehicle can get legs and get moving, have you done
19 any analysis on the megawatt consumption for a similar
20 amount of hydrogen production to get that fuel off the
21 ground and running?

22 MS. SMITH: So, when I was talking about
23 opportunity for power to gas and hydrogen production, I
24 was actually looking more at using that fuel source --
25 or using that fuel and putting it into the pipeline, and

1 delivering it. So, it could be used for a
2 transportation fuel, it could be used for power
3 generation, or it could be used in the home.

4 So, and the E3 study, I apologize, I don't have
5 it off the top of my head, what amount of power to gas
6 we had assumed had gone into the pipeline. But I can
7 certainly get that information for you.

8 MR. DOUGHTY: We're preparing for our annual
9 stakeholder symposium at the ISO and many of the folks on
10 the dais are joining us. We're actually going to have a
11 SoCalGas representative talking about the potential for
12 using this power to gas model, and putting it back into
13 the pipeline as a fuel, but also catalyzing the launch
14 of the hydrogen fuel cell market.

15 MS. SMITH: I assume it's Jeffrey that's --

16 MR. DOUGHTY: Yes, it is.

17 MS. SMITH: Yes.

18 MR. DOUGHTY: Thank you for that.

19 COMMISSIONER MC ALLISTER: Allison, could you
20 give us a sense of what sort of infrastructure
21 investment you would be looking at making to ramp up to
22 the 20 percent or 40 percent biogas sources?

23 MS. SMITH: Well, from the utility's
24 perspective --

25 COMMISSIONER MC ALLISTER: The utility

1 perspective, yeah.

2 MS. SMITH: I would really be in the
3 interconnect costs and any kind of gathering systems
4 that would be needed. So, for example, in the dairy
5 industry, you would want to collect, and gather, and
6 bring it in.

7 So, we don't have a study on that. That's
8 something that we need to look at to see what kind of
9 incentives we're going to need to help support the
10 development of that market.

11 So, it's something that it's really more work in
12 progress to figure that out.

13 COMMISSIONER MC ALLISTER: Okay, that seems
14 pretty important to figure that out.

15 MS. SMITH: Absolutely.

16 COMMISSIONER MC ALLISTER: So, you know, then
17 compare that to sort of what we would need to do in the
18 electric system to accommodate those additional loads as
19 well, and kind of compare and contrast.

20 MS. SMITH: Yeah, I wanted to make one comment,
21 when we were discussing electrification of heating load,
22 in particular, and the discussion from Commissioner
23 Weisenmiller on, you know, the natural gas being on the
24 margin and the availability of nuclear and hydro.

25 And I would say that in the wintertime, the

1 availability of hydro's certainly less, and often less.
2 And also, nuclear, a lot of times that's when they do
3 their planned down time.

4 So, really, if you're looking at adding heating
5 load, space heating load in the winter, I think you
6 really have to consider what is that mix going to be in
7 the winter, to see if it really has a significant GHG
8 benefit.

9 I'd also say that when you look at the cost of
10 electrifying space and water heating, people are really
11 focused on that unit in the home, and I don't think that
12 they consider the secondary cost of the distribution
13 system and the transmission system to meet that
14 additional load.

15 You're talking about shifting peak load from
16 summer to winter. Because space heating load in the
17 State, while it's a very temperate state, space heating
18 load is really quite significant.

19 And so, I'm not sure that that's actually been
20 fully captured when people talk about the cost of
21 electrification.

22 MR. RECHTSCHAFFEN: Can I follow up, Allison?
23 Are you, at this point, suggesting policy prescriptions?
24 Because you mentioned how, in the transportation sector
25 there's the Low Carbon Fuel Standard, the Federal

1 Renewable Fuels Program, the RPS for biomass, there are
2 other policy incentives in place.

3 Is this something SoCalGas is looking at as a
4 way to reduce its GHG profile, to meet a potential
5 energy resource standard? Or on the natural, are you
6 suggesting and recommending that the State consciously
7 create -- do more to move this policy forward?

8 MS. SMITH: I think, initially, since it is
9 really kind of an early market that's developing, I
10 think putting some more incentives towards helping the
11 production and development is going to be important.

12 But I do think longer term that we're going to
13 have to have markets in place to support the long-term
14 production. So, we will need to have policies that
15 support the use of renewable gas.

16 COMMISSIONER MC ALLISTER: So, one final
17 question. And then, I don't have any blue cards, but if
18 somebody wants to talk about this topic, we have exactly
19 negative three minutes.

20 So, on the sort of flip side of that, what's the
21 sort of impact of the greenhouse gas allowances that the
22 current system would need? Sort of, you know, that are
23 embedded, now, in natural gas consumption. You know,
24 how much is that going to add to the lifetime cost of,
25 say, today's space heaters or water heaters, the

1 operation of the -- you know, as those prices go
2 forward, what's your sense of the impact of covering
3 those allowances if you incorporate it into the cost of
4 those devices?

5 MS. SMITH: Well, currently, the projection for
6 fossil natural gas costs are very low. And so, when we
7 look at, you know, the \$20 carbon price in cap and
8 trade, we're not seeing a big increase in the delivered
9 cost of gas to consumers.

10 If that price goes up significantly, you'd see
11 an offset and an incentive, really, to go towards more
12 renewable natural gas.

13 And so, our projection is that, actually, the
14 prices of natural gas, while they would increase when
15 you go to more renewable supplies and reflect the carbon
16 price, that they're still going to continue to be
17 competitive.

18 We have a very abundant supply, and so mixing
19 that abundant supply of fossil natural gas with
20 renewable natural gas can be cost effective in the long
21 run.

22 COMMISSIONER MC ALLISTER: So, it sounds like
23 there might be a difference of opinion here between SMUD
24 and SoCal.

25 MR. BARTHOLOMY: I just want to make a couple

1 comments. On the cost numbers that we've looked at, it
2 looks like it's about a 5 to 10 percent increase on
3 retail rates with today's carbon prices. So, I would
4 agree it's certainly a low adder for the carbon price.

5 But on the cost of renewable natural gas, we've
6 looked at a variety of different sources of renewable
7 natural gas in terms of the total potential supply
8 that's available. And the supply that's available cost
9 effectively.

10 And we're very supportive of the State capturing
11 as much of that as possible for meeting our RPS and for
12 meeting heating needs. But we just see it as
13 fundamentally a limited supply. And especially if you
14 start doing dedicated power to gas, or gasification of
15 dedicated energy crops, I think it's going to be a
16 significant premium for those resources based on the
17 pilot projects that we've attempted to do relative to
18 gasification technologies, in particular. And, also,
19 dairy, capture dairy biogas.

20 COMMISSIONER MC ALLISTER: Great, thanks very
21 much.

22 Let's see, we're a few minutes over. I'm going
23 to hold my tongue and not talk about ZNE. Allison, you
24 mentioned ZNE, but I didn't want to push that off to the
25 proceeding where that will be treated in the building

1 standards context.

2 And with that, I think we're almost on time.

3 I'm very proud of us. Thank you very much, those of you
4 on the dais and in the audience.

5 Let's break for lunch. And, let's see, the
6 schedule has us coming back at 1:45. Let's try to keep
7 to that and just cut five minutes off of our lunch
8 break. And we'll see you back here then.

9 Thanks to our panelists, both in the first round
10 panel this morning and just now. Thank you very much,
11 very quality stuff, so appreciate it.

12 (Off the record at 12:52 p.m.)

13 (On the record at 1:53 p.m.)

14 COMMISSIONER MC ALLISTER: It turns out we did
15 need an hour for lunch.

16 All right, well, we're back, very excited to get
17 started on the afternoon. A new set of panelists,
18 another pretty hot topic here with the first panel of
19 the afternoon. So, I want to get going.

20 Let's see, what's our order here. Is Aaron
21 Johnson, first? Oh, Talbot. Talbot, go ahead. Oh,
22 Talbot, you're first, right. Great.

23 MR. GEE: I'm first.

24 COMMISSIONER MC ALLISTER: Are you guys sitting
25 in the order on the agenda?

1 MR. GEE: I'm happy to move to that side.

2 COMMISSIONER MC ALLISTER: No, it's okay. I'm
3 not looking at the agenda. My bad here.

4 Let's see here. Okay, oh, yes, Talbot Gee. It
5 looks like you are in order. That's great, way to go.

6 (Laughter)

7 COMMISSIONER MC ALLISTER: Oh, hey, Snu, you've
8 got to get in your spot there, yeah.

9 MR. PRICE: Yeah, I'm working on it.

10 COMMISSIONER MC ALLISTER: Okay, let's go ahead.
11 Thanks a lot.

12 MR. GEE: My name is Talbot Gee. I'm with the
13 Heating, Air Conditioning and Refrigeration Distributors
14 International, or HARDI. We represent wholesale
15 distributors, HVAC and refrigeration equipment, and
16 supplies and parts. And we also have associate members
17 of the major manufacturers, component and parts
18 manufacturers, as well as reps and other entities within
19 the industry.

20 So, we are also one of the founding members of
21 the WHPA, the Western HVAC Performance Alliance. And I
22 currently sit on the Executive Committee of the WHPA.

23 So, this topic has been all consuming in WHPA
24 over several years, a long time, actually. So, I'm not
25 sure precisely where you might want me to start on this,

1 except for the stand point that I'm coming, representing
2 the people who are kind of in the middle of all of this.

3 So, when we talk about codes, standards, too,
4 there is the policy aspect, which has all the best
5 intentions in the world, and then there's the opposite
6 end where the rubber actually has to actually meet the
7 road.

8 And that's kind of where we sit. In fact, we're
9 actually in an even more, sometimes more uncomfortable
10 position because we are actually in between the
11 manufacturers, who make the product, and then the
12 contractors who actually install the product and are
13 trying to serve their customers, the end-users, be it
14 commercial or residential.

15 So, to say we serve a lot of masters is a little
16 bit of an understatement here.

17 And the issue, as it relates to codes is, you
18 know, there's a lot of potential for good things and
19 advancement, as it relates to energy efficiency, and
20 building performance with codes and everything like
21 that. But there's an awful lot of unintended
22 consequences, as well. And that's kind of where we get
23 into the pickle here, a little bit.

24 So, I'm hopefully able to stick around for the
25 next panel, because I won't be such an energy efficiency

1 Grinch in that one, as I might come off in this one.
2 We're big proponents and supporters to drive energy
3 efficiency and we feel we're an integral part of all
4 that, with HVAC and refrigeration solutions.

5 But the code aspect, I would just kind of jump
6 out there and say one of the biggest challenges or
7 impediments to energy efficiency improvements in the
8 State is the application of Title 24 to existing
9 buildings.

10 It is an animal that cannot be wrestled to the
11 ground. And I think the codes make a lot of sense when
12 they are realistic. And when I say realistic, I say
13 that they make sense to the people who ultimately have
14 to comply with them. And that is actually your building
15 owners, your homeowners and building owners.

16 And what we've seen, and I'll focus a little bit
17 on the residential side, first, is a huge disconnect,
18 and consumers not seeing the benefit to them to
19 complying with the code. And, frankly, not wanting to
20 pay for compliance with the code.

21 Even absent code compliance, the cost of our
22 solutions has continued to go up as the complexity and
23 the standards have increased. It's actually about
24 threefold what it was before the old air conditioning
25 standard of 10 SEER, that phased out in 2006.

1 So, just without any code changes, just right
2 out of the gate it's three times more expensive to do a
3 replacement of a central AC system than it was before.

4 You add on top of that increasingly more
5 expensive code compliance cost, and we end up with a
6 situation where it's ripe for a black market, frankly.
7 You're encouraging activity outside the system.

8 And now, our membership, in particular, is
9 getting in an awkward situation here, where the State is
10 trying to figure out if we should be part of the
11 solution to fixing that problem that, frankly, we didn't
12 really have anything to do with creating in the first
13 place.

14 And that's a difficult spot to be in. Because
15 as any of you know who run a service or serve customers,
16 you ultimately serve the customer and what the customer
17 wants. You can't make them want something. It doesn't
18 work that way. And markets will find an alternate
19 solution if what you're trying to push them isn't what
20 they want.

21 And if that happens, our guys lose their
22 livelihood, that doesn't work.

23 So, this idea of code compliance being driven by
24 industry in the channel, and the people who are
25 ultimately tied to serving the end customer is a huge

1 leap to make.

2 So, what I would argue is let's focus on
3 continuing some of this great progress on new
4 construction, new buildings, both residential and
5 commercial. Take a step back from the existing building
6 side of it.

7 And by the way I mentioned, by being very
8 aggressive on the existing building side of it, you've
9 actually created a bit of a disincentive to investing in
10 new buildings. Because the assumption becomes, oh,
11 well, my existing building has stayed up to code and
12 it's performing so well, why should I spend all this
13 more for a new building, a new home, a new commercial
14 building, whatever. Why create that competition that
15 way. Make the new buildings look as cool as they really
16 are, as compared to the existing building stock.

17 And then, let's use efficiency programs,
18 holistic approaches, market transformation, all like
19 that to try to nip away at that existing building market
20 as best we can.

21 But using codes and standards, frankly, is going
22 to be a tough one. And the example, I came in late to
23 one of the earlier sessions and they were talking about
24 transitioning water heaters to electric water heaters.
25 Well, we're in the middle of a Federal standards

1 transition right there, and I will tell you it's not
2 that easy.

3 A lot of water heaters just simply don't fit
4 where the old water heaters fit. So, you can write the
5 best code in the world, but someone's not going to
6 remodel their house to put a water heater in. It's just
7 not going to happen.

8 So, anyway, I guess I'll just kind of rest here
9 in just saying let's be realistic and focus, but let's
10 focus on the stuff that we really can kind of control,
11 which is the new building market, and then find more
12 market-driven solutions for the existing building side.
13 And I think we'll come to a more efficient, cost-
14 effective end in the long run.

15 And also, find a code that works well with those
16 efficiency programs. Right now, our sense is they kind
17 of conflict. They actually cut the legs out of a lot of
18 efficiency programs which, again, doesn't really serve
19 anybody's end purposes here.

20 So, with that, I hope that's what you were
21 looking to hear, but anxious to answer any questions
22 anyone may have.

23 COMMISSIONER MC ALLISTER: I'm sure we'll have
24 questions. But let's power on through and get
25 everybody's first lob in there.

1 So, Matt.

2 MR. HARGROVE: Good afternoon, thank you for
3 having me. I'm Matthew Hargrove, with the California
4 Business Properties Association. We're a trade
5 association here, in California, that represents many
6 national commercial real estate groups, everyone from
7 the Building Owners and Managers Association of
8 California, International Council of Shopping Centers,
9 NAOP, which focuses on industrial buildings, and several
10 other associations. So, we're basically an association
11 of commercial real estate associations.

12 That long introduction of who I represent is a
13 key piece of the information I want to impart today, is
14 that commercial real estate is very varied. You have
15 everything from very pretty, nice, shiny, downtown,
16 Class A office buildings that are extremely energy
17 efficient, to very large industrial buildings out in the
18 desert, that are also extremely energy efficient when
19 you look at the envelope, and everything in between.

20 What we're seeing, through California wanting to
21 maintain its mantle of being the most energy efficient
22 building code state in the nation, which is why we're
23 here discussing this, is because we are, is that you're
24 starting to see a bifurcation between existing buildings
25 and new buildings.

1 And you're also starting to see a huge
2 bifurcation between very large, corporate entities that
3 can handle all the quick, and fast, and complicated
4 changes, and very small companies that find it very
5 difficult to keep up with the changes.

6 In particular, with the new buildings, what
7 we're here to praise the Energy Commission is that
8 making sure that folks, when they're building new
9 buildings, have informed decisions. And we do think
10 that your code process is very open. It has been, at
11 times, very aggressive.

12 Two cycles ago, or the last cycle, when there
13 was a 28 percent jump, we argued at the time that was
14 too big of a jump and it was going to cause some
15 implementation problems. And we're working through
16 that, now, with your staff and with all of you, and we
17 appreciate that.

18 But it's a great example of this discussion
19 point of sometimes getting a little too aggressive,
20 setting goals that are not -- well, stretch goals. And
21 what happens when you set stretch goals, when you're
22 talking about very practical applications.

23 We think we need more training out there because
24 of the rate that the Energy Commission, and the State in
25 general, with regulations has been moving in terms of

1 going green and adopting very complicated, theoretical
2 code. That there needs to be more education of the
3 local building officials who, in many instances, we're
4 turning to, to help clarify the rules and regulations.
5 Coupled with the fact that many local planning desks are
6 not as big as they once were, that's even more important
7 that the State take a leadership role in that. If the
8 State is going to be adopting such aggressive codes,
9 that we make sure that all the jurisdictions that are
10 out there, that are on the ground working with us and,
11 quite frankly, the utilities that are working with us
12 have the tools and information at which they can impart
13 to the folks who have to comply with these codes and
14 regulations.

15 In general, again, we're seeing existing
16 buildings having a lot of complications keeping up with
17 Title 24. And I never had a real example, until
18 recently, of where we saw that this was a huge issue.

19 And recently in San Francisco, I was talking
20 with a group of building owners, who were finally
21 complaining about the State energy code. And to hear a
22 group of building owners in San Francisco complain about
23 the State energy code is very odd because San Francisco
24 has been so far out ahead of where the building code is.
25 But it's finally caught up with them.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 And what we're hearing from building owners, in
2 San Francisco, is that they're starting to see tenants
3 make decisions based on economics in terms of tenant
4 improvements.

5 What that means is in the past, for us to come
6 in and do a five- to seven-year tenant improvement, it
7 was just really a simple negotiation. It wasn't
8 extremely expensive. And that tenant improvement went
9 through. And that was a good thing, because any time we
10 do a tenant improvement we're building to the current
11 building code.

12 What we're seeing now is when we go to tenants
13 and say, this is the cost of doing this tenant
14 improvement, we're starting to see, very quickly,
15 blowing through the building owner's budget for tenant
16 improvements, and starting to push a lot more of that
17 cost off on to the tenant.

18 And we're starting to see tenants saying, whoa,
19 we can't handle that cost. Why don't we just put in
20 some new carpet and a fresh coat of paint, and we'll be
21 happy signing the new lease.

22 Well, what happens when you do that is you're
23 leaving in the old technology, the old code, and you're
24 stymying the new code from being put into that existing
25 building.

1 So, we think that being so aggressive with the
2 codes and being so aggressive in applying them to
3 existing buildings, you're starting to have a negative
4 effect on the edges, in terms of people, tenants making
5 cost-based decisions.

6 Incentives are needed. Especially, this morning
7 we heard folks, and over the past couple of years talk
8 about putting in societal benefits into the calculations
9 that you use in terms of cost effectiveness.

10 Well, if building owners and tenants are going
11 to be expected to pay societal benefits through their
12 building codes, then the State really needs to step up
13 and provide incentives to work us through that.

14 Because ultimately, as we're working with
15 tenants on tenant improvements, we need to be able to
16 sell that tenant improvement to the tenant, who's going
17 to pay for it. The building owner doesn't pay for this,
18 in many instances. It works out through the leases.

19 And if we're trying to sell a 30-year commitment
20 on new technology, and then on top of that some vague
21 notion of societal benefits, we're going to have many
22 more tenants saying no, thank you, just put up a fresh
23 coat of paint and we're good with that.

24 We hope that the Energy Commission, and the
25 State as a whole, starts doing more ground truthing.

1 You're very, very good up front, before the codes are
2 adopted, at looking at the theoretical savings. And
3 there's a line out the door, many times in this room, of
4 people coming in to advocate the theoretical savings of
5 all these great things that you're adopting.

6 But when we do workshops at the tail end, those
7 same folks aren't here when we're looking at the actual
8 savings.

9 So, we really hope that the State will start
10 looking at the actual savings. Are the policies that
11 we're adopting having the impact that we thought they
12 were going to have at the time we adopted them. And I
13 think that will help all of us make some better
14 decisions, as we move forward, in terms of how
15 aggressive to be.

16 So, I'll leave it at that. Again, we're very
17 thankful to work with the Energy Commission, your staff,
18 you've been open on this. We're proud, as folks who own
19 and manage property in the State of California, that we
20 have the greenest buildings in the nation, and we do.
21 But we want to make sure that policymakers take a step
22 back, look at this strategically, and I really think
23 it's a decision on how aggressive do we want to be? Do
24 we need to have 30 percent jumps every time? Or, is a
25 three to five percent jump okay, if we've done a 30

1 percent jump three years before. Thank you.

2 COMMISSIONER MC ALLISTER: Thanks.

3 MR. JOHNSON: Good afternoon. My name is Aaron
4 Johnson and I'm with PG&E, and I have responsibility for
5 all of our various customer programs, like energy
6 efficiency, demand response, customer solar, electric
7 vehicles, things like that.

8 Because it's the utility way, I have a Power
9 Point. So, I will try to go through this relatively
10 quickly.

11 First of all, just in terms of introducing PG&E,
12 so first slide. So, to answer Chair Weisenmiller's
13 question from earlier today, I could have jumped up, but
14 I think we got an answer. We run about \$650 million,
15 PG&E does, of DSM programs, the vast majority of them
16 are energy efficiency. Also, the ESAP, the Energy
17 Savings Assistance Program, which is the low-income
18 weatherization program, and then a much smaller demand
19 response portfolio.

20 We have the privilege of administering these
21 programs on behalf of ratepayers in our service
22 territory. I would like to highlight that we are not
23 the primary entity actually delivering these programs.
24 We have a tremendous number of partners, both private
25 and governmental, that we work with, a tremendous amount

1 of trade associations that we work with to actually
2 implement this program.

3 And most of those folks are selected to run
4 those programs through competitive solicitations of
5 either the RFO or RFP variety.

6 The next slide. I wanted to talk about three
7 key points today. I want to talk about capturing to and
8 above code savings in buildings, leveraging smart meters
9 by measuring savings at the meter, and ultimately look,
10 also, at how we should evolve our effectiveness tests
11 for energy efficiency.

12 When we see the Governor's really aggressive
13 energy efficiency goals that have been laid out there,
14 we're excited, but we see a big challenge in front of
15 PG&E. And we're excited to take that on, but we
16 definitely recognize that there are some things that
17 we're going to have to do differently going forward,
18 than we do today, in order to be successful at meeting
19 those goals.

20 So, next slide. So, the first topic I want to
21 talk about is energy savings below code or going up to
22 code. And I want to highlight the results that have
23 been making the rounds, generally, of two studies that
24 we commissioned various sort of data providers to put
25 together for us.

1 The first is a study that was done by Pulse, now
2 part of EnerNOC. And this study began by looking at a
3 very large section of our nonresidential buildings in
4 our service territory.

5 And what you see from this study, which
6 ultimately looked at about almost 70,000 different
7 businesses, commercial buildings in our service
8 territory, is that two-thirds of the savings that can be
9 found in those buildings is to be found below code, not
10 above code.

11 So, we recognize, obviously, older buildings are
12 still compliant with the code that was in place at the
13 time. These are not, obviously, buildings that are out
14 of compliance in any way. They're in compliance with
15 the standards of when they were built. But they're
16 certainly less efficient than our modern code standard.

17 And just to be clear, we saw these sorts of
18 results for these, this swath of buildings across our
19 service territory. So, we saw it across different
20 sectors and it was very similar results, and also across
21 different climate zones, very similar results.

22 The next slide. So, this is a little bit of
23 drill down. And this study was done by First Fuel. And
24 they began looking very specifically at a number of
25 buildings. And, in fact, they looked at 164 buildings

1 across office, retail, grocery, school buildings all in
2 the Central Valley. And we saw more of similar kinds of
3 results. What we see is about 25 percent of the savings
4 are above code, the stuff that we're allowed to offer
5 incentives for today, under State policy.

6 And then, about 75 percent of the savings were
7 things that we don't offer incentives for today. And
8 that was a mix of to-code, you know, getting buildings
9 up to modern code, and also operational and behavioral
10 savings that can be found. You know, are things really
11 working the way we intended them to work?

12 So, again, reinforcing this idea that a lot of
13 the potential that's out there on energy efficiency is
14 stuff that we're not going after today.

15 The next slide. So, to belabor the point, I
16 will show one last slide. We have -- this is those 164
17 buildings, and we stacked up the operational savings of
18 the top 100 buildings, from left to right. So, the
19 highest bar represents the most savings to be had.

20 Don't worry too much about all the colors. The
21 main thing to recognize is that the yellow is the above-
22 code savings, and the blue and the purple hashed are
23 the, basically, operational and to-code savings that we
24 don't currently pursue through incentive programs today.

25 And so, we stacked up the top 100 buildings in

1 this survey. And then we looked at them and we said,
2 okay, so we put this big, dramatic red bar on the top 20
3 candidates for potential savings.

4 And then, we look at what will actually happen
5 under the programs we administer today.

6 The next slide. What you see here are the ten
7 buildings that we decided would be the most likely to
8 move forward with energy efficiency measures today. And
9 this criteria is not scientific. We made up this cut.
10 But the cut was we assumed that at least 50 percent of
11 the savings in the buildings needed to be above code
12 and, therefore, would be able for the customers to get a
13 rebate on. So, we just made an arbitrary line, let's
14 say 50/50. So, which of these projects actually have
15 the savings where more than 50 -- or 50 percent or more
16 of the savings are above code.

17 And what you're seeing is you're getting only 10
18 of the top 100. You're getting none of the top 20.
19 And, you know, you're getting a few projects in the
20 middle, outside the top 20, and a lot of tail savings.

21 And this is really reaffirming to us that there
22 is great potential savings to be had in many buildings
23 and we're not pursuing that aggressively, as we should.
24 And a lot of that involves getting things up to code.

25 So, next slide. This is my second point. I

1 don't have any pretty graphs for this one. All I have
2 is a picture of a meter. We spent about \$2 million --
3 about \$2 billion, not million, billion dollars upgrading
4 the meter network in PG&E's service territory over the
5 last seven years or so. This is a phenomenal system.
6 It's providing us all kinds of interval data that we've
7 never had access to before. Big data analytics is
8 coming at just the right time. We're going to do really
9 interesting stuff, figure things out we haven't been
10 able to figure out before.

11 One of the things I think we could use this
12 meter for is to measure savings in buildings. Let's
13 leverage this network.

14 I understand that there is incredible
15 intellectual rigor and justification in doing a lot of
16 the traditional EM&V that we do, that will really help
17 us understand what programs are truly effective. I
18 don't think we should dispense with that kind of study
19 and research around our EM&V activity.

20 But today, the three IOUs spent a billion
21 dollars on EE, and I should say we spent a billion
22 dollars of ratepayer's money through the public goods
23 charge. And that money, \$50 million of it is spent on
24 EM&V. I don't think we need to dispense with all of
25 that, but I think we could certainly repurpose some of

1 it to actually be doing energy efficiency.

2 And, ultimately, the meters really tie in with
3 the below code savings. Because if you're using the
4 meters and you're measuring the actual savings, you're
5 not really differentiating between what's operational,
6 what's behavioral, what's below code, what's above code.
7 You're just saying we're saving energy.

8 Now, there are very good intellectual arguments
9 out there about free ridership, about people that were
10 going to do things anyway. Those arguments are there
11 and they're legitimate. But we think in order to go
12 after these aggressive, new goals, but we're going to
13 have to move beyond that construct.

14 I do want to just say that if we go after a lot
15 more savings, obviously, there's the potential, you
16 know, is this the utility's way of tripling our budget?
17 That's not the plan. Obviously, we're going to have to
18 reset incentive levels if we go after below-code savings
19 because we'll be tapping into far greater levels of
20 energy savings.

21 And so, we're going to want to -- we're going to
22 have to look aggressively at incentives. As we
23 approached this issue, we had thought very much from the
24 stand point of what if we had the same budget we had
25 today, how would we move forward in a new paradigm?

1 Not, let's necessarily expand the pie. We made decide
2 as a State we want to do that. That's a very legitimate
3 outcome of these new, aggressive goals, but that's not
4 the mindset that we're taking into looking at going
5 after below-code savings.

6 And the last topic I wanted to cover is just
7 looking at the tests, basically, the cost effectiveness
8 tests. And so, what this graph shows you is various
9 cost effective tests. Obviously, you want to be above
10 one to be in the money, and that's on the Y axis. And
11 then, we have a number of different technologies
12 displayed on the X axis.

13 And what you see there, in brown, is the TRC.
14 That's the total resource cost. That's all the costs
15 and benefits of participants and the utility, and we
16 lump those in together, today, and try and maintain a
17 utility portfolio that's at least at 1.25.

18 And then you have the program administrator
19 cost. And what this test looks at is simply what are
20 the costs to the utilities and the benefits of
21 administering the program, not the participant costs.

22 And to sort of highlight this difference, I want
23 to share an anecdote from a member of our staff, who was
24 talking to a friend, who was upgrading his apartment in
25 San Francisco, his condo. And he wanted to put in on-

1 demand water heating. And he said, you know, this is
2 great. He hassles his friend, who works at PG&E and
3 says, how come you don't offer a rebate for this
4 technology? And Luke's response is because it's too
5 expensive. I can't. We don't do that, we don't offer
6 rebates on expensive technology.

7 So, what we're effectively telling customers is
8 we're looking out for you, and we don't want you to
9 spend your money on that. That wouldn't be a cost
10 effective use of your own money. So, in effect, we're
11 stifling some of the more innovative and, yes, expensive
12 technologies that are out there on the front lines, that
13 will be tomorrow's not-so-expensive technologies.

14 But because they can't pass the total resource
15 test, or total resource cost, we don't end up offering
16 incentives for those kinds of technologies. We
17 shouldn't dominate our portfolio with new technologies,
18 but they shouldn't be excluded, either.

19 So, moving to something like the PAC test would
20 be a much better way of capturing some of those kinds of
21 technologies and offering incentives on them.

22 So, my last slide is just to wrap up those three
23 points. I think we'd like to see, as we look to meet
24 these aggressive new goals going forward, capturing to
25 and above code savings in buildings. Leveraging this

1 great smart meter network that we've put in, put it to
2 more use. Obviously, we've just had rates decisions
3 that are going to look at moving all the utilities to
4 default time of use rates. That's coming in a number of
5 years. Obviously, that's one of the big goals of those
6 meters, but we think we can also use them for -- to get
7 better at measuring energy savings.

8 And then, ultimately, in order to effectuate all
9 this, I think we're going to need to look at the cost
10 effectiveness tests for EE a little bit differently
11 going forward. Thank you.

12 COMMISSIONER MC ALLISTER: Thanks.

13 Snu.

14 MR. PRICE: Thank you. My name is Snuller
15 Price. I'm a partner at Energy Environmental Economics.
16 Thank you for having me this afternoon.

17 E3, as some people may know, has been really
18 working hard over the last couple of years to look at
19 what are long-term pathways for California to reach deep
20 GHG reduction targets.

21 And we think in, really, every scenario we've
22 done, that energy efficiency is going to play a key role
23 in that transformation.

24 And so, what I wanted to talk about this
25 afternoon is, given that, what -- how well are the cost

1 effectiveness tests that we're using in this State
2 working for us in that sort of longer-term context?

3 E3 has been working -- and, Heather, if you want
4 to go to the next slide. E3 has been working with the
5 CEC and the CPUC on energy efficiency cost effectiveness
6 for a long time. It's been one of my major things that
7 I've done in my career.

8 The CEC, Title 24 Program for new construction,
9 and as our other panelists pointed out, also for major
10 retrofits, uses a time-dependent valuation methodology.
11 And it's used, really, for two things. One is to
12 develop the prescriptive packages in buildings and then
13 the other is to, oh, evaluate tradeoffs.

14 And I think the important thing to know about
15 TDV is that it's looking at cost effectiveness on a sort
16 of modified participant test.

17 So, we're trying to make sure that the mandates
18 in buildings are going to be cost effective for the
19 people we are mandating. And I think that has been part
20 of California policy making since, you know, I think
21 it's the 40th anniversary of the Energy Commission and I
22 think it's been here, and is an important part of it.

23 The other major energy efficiency cost
24 effectiveness testing in California is under the
25 California Public Utility Commission Energy Efficiency

1 Program. And as Aaron mentioned, we spent about a
2 billion dollars or ratepayer money every year. And the
3 public utilities, I know there's some in the room, also
4 spend a similar amount on their cost effectiveness
5 programs to do similar cost effectiveness.

6 And those tests are really there to safeguard
7 public money, make sure that we're spending money that
8 we're collecting in rates well.

9 And the perspectives tested under the PUC energy
10 efficiency program, as Aaron pointed out, the total
11 resource cost test has been sort of the fundamental
12 test. But all of the other tests, looking at sort of
13 the distributional impacts, who's paying for the
14 benefits, who's getting the benefits are also tested
15 under that framework.

16 So, if we go to the next slide. There's a
17 couple of things, looking at the long term, that are
18 really important. I think the first thing is, you know,
19 energy efficiency is still going to be about saving
20 money. Right now, when you do an energy efficiency
21 program, you save both GHG emissions, because you have
22 to generate less electricity, or you consume less
23 natural gas or propane.

24 But when you look at the long term, you'll see
25 there's sort of diminishing returns. As we add more

1 renewables onto the system and the grid gets cleaner in
2 terms of the mix, we'll be saving less and less GHGs,
3 and more and more money.

4 So, I don't think we should change the energy
5 efficiency metric to be a dollars per ton. I think we
6 should stay focused on how much are we spending on
7 energy efficiency, how much are we saving in terms of,
8 you know, actual money? I think it works really well
9 for that.

10 And I don't think we have to scrap our cost
11 effectiveness frameworks and just start all over. I
12 think we need to do some updates, some very specific,
13 some maybe -- and I'm going to point out one in
14 particular, one thing that's a little bit bigger.

15 But I think it's really in the land of updates
16 and adjustments as we start to look at our portfolios,
17 rather than just wholesale start over.

18 You know, for example, we could use more recent
19 information. One of the things that's always tricky is
20 the cost of things. As they are kind of continuing to
21 develop, are we getting the right lifetimes? Are we
22 looking at the right economic horizon?

23 One of the things that we're working on and are
24 really interested in is as we get a much more renewable
25 electricity grid are we really -- we factor in the value

1 of not having to buy as much renewables, but are we
2 really capturing the right cost of integrating all those
3 renewables onto our grid is an area that I think is
4 important.

5 So, I think energy efficiency cost effectiveness
6 is going to remain useful to allocate limited money
7 intelligently, and to define the code in the buildings.

8 If we go to the next slide, this is the last
9 slide. I think there is one area that the State has not
10 looked at in a lot of detail, and that is fuel
11 switching. And, particularly, if we're looking at fuel
12 switching from natural gas to electricity as a carbon
13 reduction measure, our cost effectiveness metrics are
14 really going to kind of break down.

15 So, the CEC's TDVs discourage fuel switching
16 from natural gas to electricity. So, it won't pass the
17 cost effectiveness screen. So, if you want to do that,
18 indeed, then obviously, the TDV would have to be
19 updated.

20 On the PUC side, similarly, it's very difficult
21 to pass the participant cost test, particularly, if
22 you're going to try to switch people from natural gas
23 water heat, and space heat, because electricity is more
24 expensive.

25 So, either of those -- in neither of our cost

1 effectiveness frameworks will that work. So, you know,
2 we've looked at, in our long-term GHG reductions
3 different pathways for reducing and getting to GHG
4 savings. But, really, I think the fuel switching piece
5 is the one area where, really, it wouldn't -- our
6 current frameworks won't actually work.

7 So, happy to participate in the panel and any
8 questions that come up.

9 COMMISSIONER MC ALLISTER: Thanks a lot.
10 Cynthia.

11 MS. MITCHELL: I'm better standing up. Thank
12 you so much. I've been asked to address question nine,
13 regarding cost effectiveness. But I certainly, for a
14 turn, have opinions that I'd be glad to offer on
15 questions 7 and 8.

16 And thank you for having me here this afternoon,
17 in this room full of all these intelligent, good-
18 intentioned, hardworking and dedicated individuals.

19 Last month marked 41 years for me as a utility
20 consumer advocate and energy economist, 15 years as
21 TURN's energy efficiency expert.

22 And I'm here today with good news. There is
23 plenty of economic efficiency in California ready to
24 harvest, and I don't think it's going to be all that
25 hard to do. So, keep your summer vacations, eat

1 healthy, get your sleep, exercise, and love your family
2 and friends.

3 The next slide. Generally speaking, and with
4 due respect and appreciation, Aaron, California's cost
5 effectiveness methodologies are not the limiting factor
6 in the scale and scope needed to reach California's
7 climate goals.

8 The trick is in going beyond relying on
9 consumers for voluntary uptake of efficiency with their
10 own capital. We must finance efficiency like an energy
11 infrastructure investment akin to generation,
12 transmission and distribution, and now solar energy
13 storage and electric vehicles.

14 This is essentially what my November 2014
15 electricity policy article, *A New Energy Efficiency*
16 *Manifesto for California*, is all about.

17 More recently, Jeanne Clinton's May 26th talk,
18 as part of the CPUC Leadership Platform on how to make
19 efficiency more like solar or purchase power agreements.

20 The next slide, please. We saw a version of
21 this slide earlier. Here's all that efficiency that I
22 spoke of. The top line denotes what's economic. The
23 bottom line is, at best, what is forecasted to be
24 achieved.

25 The orders of magnitude here are startling.

1 We're at, say, 35 to 50 thousand gigawatt hours of what
2 is economic. And then we start at about 2,000 gigawatt
3 hours, maybe upwards of 15,000 gigawatt hours, over the
4 next ten years, of what's achievable.

5 So, here's the puzzle. What is the difference
6 here? Clue; it is not the cost effectiveness
7 methodology. Both economic and achievable are based on
8 20-year-long avoided cost. These analyses, economic and
9 achievable, are both 20-year-long run avoided cost.

10 Economic assumes efficiency is financed like an
11 energy infrastructure investment. Large capital
12 markets, 20 plus years, okay. Achievable relies on
13 consumers for voluntary efficiency uptake with their own
14 capital.

15 The fly in the ointment is the assumption that
16 consumers are willing and able to make efficiency
17 capital investments based on 20-year payback horizons.

18 The landmark 2009 McKinsey Group report,
19 documented that consumers have very short paybacks, 18
20 months to four years, whether it's residential,
21 commercial, industrial.

22 What are we getting from achievable? Well, it's
23 largely a lot of low-hanging, compact and linear
24 fluorescent lamps. One-third of our savings, now, are
25 coming from codes and standards assuming high compliance

1 rates. At best, the portfolios are marginally cost
2 effective.

3 And in all due respect, it's turned into a huge
4 and complex *Rube Goldberg* construct of 200 plus
5 programs.

6 So, back to the good news. Economic generally
7 matches the carbon reductions needed from the
8 electricity efficiency sector per AB32 and the Air
9 Resources Board.

10 So, we're in the money here on what we need to
11 do and we have the resource.

12 The next slide, please. Briefly, let's be clear
13 about California's long-term trend in consumption.
14 Here's 40 years of absolute consumption data.

15 And the next slide, here's 40 years of per
16 capita. Okay, the long-term trend is increasing
17 consumption absolute and per capita, with only brief
18 down ticks from recessions. Obviously, recessions are
19 not a good way to manage carbon.

20 The next slide. We need -- oh, go past that
21 one, too, please.

22 We need new transaction structures. We need to
23 finance efficiency like an energy infrastructure
24 investment. We need to meter efficiency and pay for
25 savings as delivered. Turn efficiency into a cash flow

1 which can then be financed.

2 We need pilots to test efficiency bundled with
3 other distributed energy resources to achieve site-
4 specific, and I mean residential and commercial
5 buildings, savings of 25 to 40 percent.

6 NRDC and TURN have pilot proposals before the
7 Regulatory Commission in the Efficiency and IDSM
8 proceedings. We had Lisa Schmidt this morning, with HED
9 [sic], talk about her company and their product.
10 There's people coming out of the woodwork with all kinds
11 of ideas this way.

12 Use dynamic baselines, which are essentially
13 counterfactual, load and consumption algorithms, and
14 smart meter data to create transparent and a real-time
15 accounting for savings.

16 The next slide. The next slide. Okay, let's
17 look at the need for efficiency bundled with distributed
18 energy resources via the duck's neck, okay. This
19 reflects the run up in late afternoon and evening space
20 cooling loads. Simply feeding the duck's neck with
21 stored solar surplus, without turning down the space
22 cooling load grid heat, will perpetuate over built
23 distribution systems and inefficient distributed
24 resource asset utilization.

25 Know that commercial and residential space

1 cooling loads cause over 30 percent of California's
2 total summer peak demand and so it's, obviously, an
3 enormous and costly impact on the need for distribution
4 infrastructure.

5 And then the last slide. As a small-time
6 chicken farmer, I'm going to leave you with this. While
7 it works for chickens to do the same thing every day,
8 the status quo will not get California the efficiency at
9 the scale required.

10 And I ask the people in this room of power to
11 step up and take bold, decisive action. Allow for
12 experimentation with new transaction structures. Reward
13 both successes and failures. Only inaction should be
14 penalized. Thank you very much.

15 COMMISSIONER MC ALLISTER: Thanks very much.

16 So, very thought provoking and I really
17 appreciate everybody being on the panel. I think we
18 have quite a bit of time remaining on the panel, so I
19 think we have a good opportunity to ask some probing
20 questions.

21 So, really, as I see it there's kind of two, at
22 least two sides to this issue, to this coin, probably
23 more. One is, I think keying off of Matthew Hargrove's
24 comments, as sort of, you know, how can we make the
25 code, itself, more navigable by existing buildings?

1 And I think that's something we've teed up in a
2 number of ways in the AB758 action plan and really need
3 comment, I think, from all of you. I mean, we've gotten
4 some comments on that but, frankly, not as many sort of
5 solutions-oriented comments as I would hope. And I
6 really want to -- you know, if we're going to take a
7 modified track or develop new tools to apply code
8 specifically to existing buildings, you know, taking
9 into account the fact that the cost profiles and the
10 cost effectiveness are probably different, in many
11 cases, from a new construction scenario for the same
12 measure, that's going to require a lot of spade work.

13 And I think, you know, I'm certainly willing to
14 entertain it, but I need a lot of help from
15 stakeholders, and our staff really needs to hear from
16 stakeholders on that.

17 We've been working through a bunch of issues for
18 lighting and HVAC, et cetera, on that front. They do
19 look different for existing buildings.

20 So, you know, have a look at the action plan,
21 again, and put your thinking caps on there. Certainly
22 hear what the industry is saying about that issue.

23 I guess, I did -- I wanted to ask Aaron a
24 question. So, you know, in your thought-provoking
25 columns there, where you've got the yellow, blue,

1 orange, you know, are you saying that the blue are not
2 happening? That those, the to-code savings are simply
3 not happening? Or, I mean I think it's easy to say
4 here's a bunch of potential for to-code savings. And
5 you're implication is that if you could only offer a
6 rebate, those would happen. And I guess, I think
7 there's a fair amount of kind of unpacking to be done in
8 that assertion.

9 And then, you know, driving at the worry at
10 driving underground is sort of a complementary question.
11 If we make code hard, and people don't get a permit, and
12 they go do it, say, in the residential sector, they do
13 some project, but they go with the cheap version,
14 without a permit, are savings really being left on,
15 unrealized?

16 And so, maybe, Talbot, you could talk about
17 that, too. But just because a project doesn't get a
18 permit, doesn't mean that a lot of savings are being
19 left behind. I think we'd have differing opinions about
20 that in the room.

21 So, really, a two-part question.

22 MR. JOHNSON: So, we don't know the full answer
23 to whether or not the code is being adopted at the rates
24 that are assumed.

25 We do receive credit -- to be fair, we receive

1 credit under the Commission's methodology, Cynthia
2 talked about it. That there is a level of adoption.

3 And I think one of the next areas of research
4 that we have to focus on, on this, is what is that level
5 of adoption that we're actually seeing?

6 So, I think the answer is it's incomplete at
7 this point.

8 I think I do want to, you know --

9 COMMISSIONER MC ALLISTER: I guess I didn't
10 quite understand your answer. So, could you maybe
11 rephrase that in a way, sort of how are you going to
12 find out, maybe, what naturally occurring savings are,
13 which I think is what you were just talking about. But
14 also, just, let's see, whether a program initiative has
15 a needle to actually move?

16 Like, if you were to actually have a program
17 that did target and pay an incentive for those savings
18 in the blue, you know, the to-code, would those have
19 happened anyway? Like what do you know? What sectors
20 would you imagine the most unrealized savings to-code
21 actually lie?

22 MR. JOHNSON: I don't know off the top of my
23 head which sector I would say is the most potential
24 there. I think generally, you know, I don't want to say
25 that I think that an incentive would necessarily tap all

1 that potential. That was the other part of your
2 question. And I think, for the sake of policy, we need
3 to simplify complex issues down.

4 We know it's not quite that simple. I mean, we
5 have some interesting data that we've done, recently,
6 surveying a broad brush of customers around why they
7 actually chose to do energy efficiency. And it was all
8 over the place, 22 percent said comfort, 21 percent said
9 save money, 17 percent said save energy, 13 percent said
10 it was the rebates, 10 percent said it was about the
11 environment, 10 percent said it was about air quality, 6
12 percent said -- I can't remember, I can't read my own
13 notes. So, it was other, the other category.

14 But, so, it is all over the place. So, we don't
15 know exactly which -- you know, whether the incentives,
16 themselves, will ultimately drive.

17 My point is simply that that has been one of the
18 primary tools that we've used in California to get
19 people to do programs. I don't think it will be a great
20 panacea to offer a rebate. And those rebates are going
21 to have to be less, unless we substantially increase the
22 budgets for these programs. But it is something that we
23 can offer to make sure that that's happening.

24 And I think the piece that comes with it, on the
25 EM&V front, is that we do need to do better research

1 around what are those natural uptake levels. Because I
2 agree with the point, if stuff is getting done below
3 code.

4 But generally, what we're seeing is there are
5 great assumptions about that being made. And when you
6 go out and look at the potential studies, it appears at
7 a high level that it's not keeping pace.

8 MR. RECHTSCHAFFEN: If I could just follow -- go
9 ahead, Carla.

10 CPUC COMMISSIONER PETERMAN: Well, I just wanted
11 to follow up with a couple of related questions. So,
12 about, I think it's about 20 to 40 percent of the
13 current IOU energy efficiency portfolios allow for a
14 deviation exemption to the current baseline policy that
15 we've been talking about, the opportunity to not use the
16 codes as baseline.

17 So, I wonder if you could share some reflections
18 from some of those programmatic experiences about, you
19 know, have we seen greater uptake of those programs, and
20 what lessons can we learn from the fact that we've
21 allowed that, in some cases, to make that leap to
22 perhaps a larger, more broader programs.

23 MR. JOHNSON: We're pretty early in that
24 process, so we do have some mandates. Some programs
25 that are out there, the Whole Building Initiative,

1 principally, being one, and the Whole Building Retrofit.
2 And we're looking at, you know, that very stuff.

3 We're just starting to see projects go in, now,
4 and it's a little early to have any data that
5 conclusively tells us whether we're having success with
6 that.

7 So, I think we'll know very soon what the
8 results of that look like, but it's still fairly early
9 in that process.

10 CPUC COMMISSIONER PETERMAN: And just a follow-
11 up question, so it might be the same answer. But since
12 the last EE decision that authorized the utilities to
13 spend some money to do some pilots, looking at getting
14 to-code, and can you speak to what types of, you know,
15 questions or new ideas that are going to be a part of
16 those pilots? To try to, again, get us some more
17 information about, really, what's the potential here.

18 MR. JOHNSON: I don't -- I don't think
19 there's -- I mean, the primary -- so, it is the same
20 programs, those same pilots that we're talking about,
21 where we're starting to see them in the field.

22 I think what we have heard, generally, from the
23 building folks that we've gone out with is the
24 simplicity for them of knowing whether or not they're
25 being successful with their programs. They also like

1 the ability to just go after the operational savings, as
2 well.

3 You know, they have their own meter readout data
4 every day, and they have control over what they know
5 they're actually achieving as a customer on a program.
6 Versus the sort of black box process that goes on today,
7 where we will oftentimes come much later and do, you
8 know, a rigorous EM&V process much later, down the line.

9 MR. RECHTSCHAFFEN: I just wanted to follow up a
10 little more from, Aaron, your discussion with Andrew.
11 And you highlighted the potential for free ridership in
12 the program, and your survey results indicated why
13 that's a concern. Because people do efficiency upgrades
14 for lots of reasons.

15 So, I'm wondering if you, or any of the other
16 panelists, might have ideas of how to deal if we do --
17 you know, if there are changes made to this below code
18 baseline determination, or above code determination, how
19 to effectively safeguard against this, a big, free
20 ridership problem.

21 MR. JOHNSON: I don't have a panacea for that
22 question. I think, I step back and say we're sort of
23 reaching a point where, from my perspective, the levels
24 of energy efficiency that we're talking about doing in
25 California, and I was very struck by, Commissioner

1 McAllister, your graph. And, you know, what we're
2 talking about doing from a scale stand point, with the
3 graph you led off the day with.

4 At some point, does it matter? Don't we just
5 need the energy savings?

6 MR. GEE: I'll put the bulls eye in my chest for
7 a second here, since you've been taking most of the heat
8 here.

9 But this has been our experience is, is this
10 pursuit of perfection destroying any opportunity for
11 good, frankly. And let's talk equipment, which is what
12 I know, our industry, right.

13 So, the assumption is that absent any incentive,
14 or anything, someone's eventually going to replace their
15 air conditioning system with a minimum standard
16 efficiency unit.

17 When we know for a fact that this State lags in
18 replacement rate compared to the national average,
19 right, so that doesn't actually happen at the rate that
20 everyone thinks it happens.

21 So, what happens when they don't replace it?
22 They patchwork it. And they patchwork it without any
23 regard to code in most instances, right.

24 So, if you have a refrigerant leak, you just top
25 it off and then you just wait for the leak to be bad

1 enough that you just have to top it off, again, because
2 it's so much cheaper to do that than to replace the
3 system.

4 Okay, so the concern that, yes, you're going to
5 get some percent who are going to go ahead and make the
6 decision to replace to a, now in this region, a 14 SEER
7 system, eliminates any incentive that can be offered to
8 get somebody, who would rather patchwork their 15-year-
9 old, 8 SEER system kind of forever.

10 Or just go to a bunch of window units because
11 that's their version of zoning, right.

12 So, I think when we get down into the nitty
13 gritty, what we would really love to see is an ability
14 for contractors, who are out there in the field, working
15 with customers, have the ability, the flexibility and
16 the creativity to come back and work with all the powers
17 that be, with the utilities, the administrators, and
18 say, here's an instance. They want to do it, but they
19 can't afford. And this is what I think I can do in this
20 instance right here.

21 You know, if they -- maybe this house has not
22 been touched in 20 years, okay, and so there's a huge
23 delta. Maybe it's simply an equipment replacement. But
24 again, I mentioned, it's about three times the cost to
25 do a system replacement now, than it was before.

1 Rather than trying to predict the outcomes of
2 every single thing that we do now, why not create a more
3 malleable system that can react to what the market is
4 actually experiencing?

5 Enable or empower the industry, who is serving
6 those customers, to come back and say, we understand
7 you've got this finite amount of funds, but I'm telling
8 you right now, if we do this job here we're going to
9 save a bunch of energy. Adverse, what they're going to
10 do without any help from you at all. Because I can tell
11 you what they're asking me to do, without any help from
12 you at all. And we just don't have that malleability
13 right now.

14 And so, I think that's the opportunity. When we
15 talk about code assumptions, the biggest problem we
16 really have here, are based on truly assumptions. No
17 one really knows. No one really knows. We've been
18 dealing with this in the WHPA for five years, now. No
19 one really knows what compliance rates are. They all
20 know it's not good enough and they all know it's nowhere
21 near the goals that the State has set.

22 But we do know, in limited instances, when we
23 can talk to a building department, we get a sense that
24 we just know that there's no way that number of permits
25 for HVAC change outs equals the amount of work that's

1 being done in that size of a territory. We don't know
2 exactly how far off that is, but we know that can't be
3 quite right.

4 And so, I think we're making a lot of
5 assumptions on a whole lot of unknowns. And, frankly,
6 I'm afraid we're getting the cart well ahead of the
7 horse because we don't know any of this stuff, but we're
8 trying to get to some end point that we all think is
9 achievable.

10 But we have really no idea. We have no idea how
11 close or far to that we are.

12 CHAIR WEISENMILLER: Okay, so my question for
13 the two gentlemen to the right is just, of Aaron, does
14 his slides -- you know, you're out in the field. Does
15 his slide strike you as true or false?

16 MR. HARGROVE: They strike me as true. I mean,
17 we see lots of buildings out there that there's lots of
18 saving can be had, if they pull a permit and go through
19 with a tenant improvement project. I mean, that was my
20 initial testimony.

21 Than what we're seeing is that bifurcation
22 between large corporate entities, that are going to do
23 this as a standard course of business. They need to do
24 it, it's part of their bottom line. They're moving
25 forward with these types of projects.

1 What we're doing in California is we're leaving
2 behind, and I think, you know, there's a lot of these
3 that would be categorized as free riders, but I
4 wouldn't -- I wouldn't say they are free riders.
5 They're folks who are on the cusp that would do this.

6 And as it gets more and more expensive to do
7 these types of tenant improvements, a building owner has
8 to have a number of things happen before they can do
9 this type of investment in a building. One of them is
10 they need the tenants to say, yes, we're willing to pay
11 a little bit more money, we understand what's going on.

12 Sometimes they have long-term leases that they
13 need to deal through.

14 In many instances, and this is something I don't
15 think is as well understood in this room, as we wish it
16 was, is many times you'll have a building with 50
17 tenants in it. And they're all coming and going, with
18 different lease times, and things like that. So, even
19 if you want to do a complete overhaul of a building, you
20 do have the issue that you have real, live people that
21 you need to deal with in order of moving forward.

22 And a lot of times you'll get businesses saying,
23 hey, you can't rip the roof off the building. This is a
24 very important year for us, or that's going to disrupt
25 us to the manner that we can't have it happen.

1 And, I mean, in some of these instances that
2 having the ability to say, look, we've got money coming
3 from the State, we need to do this timing right now to
4 do this type of upgrade on our building. Don't care if
5 it's a little inconvenient for you, but we're going to
6 push through it, is going to get at some of the blue
7 that's in this slide over here.

8 And I think those will be folks that are being
9 categorized as free riders, and I don't -- we would say
10 that they're probably not free riders because that's not
11 going to happen, otherwise.

12 CPUC COMMISSIONER PETERMAN: Thank you. This
13 conversation has been helpful. I mean, I would like it
14 if the three people on this end would talk a little more
15 together to bring program ideas to us. Because we do
16 have, I think we do have that malleability, with the
17 utilities, at least, being able to engage with the
18 Commission to bring forward proposals, to have programs
19 that get up to baseline.

20 Now, if there's a disconnect between where you
21 think in particular that malleability is needed, then
22 that would be helpful to know.

23 And as a regulator, what I'm just trying to get
24 my head around is between -- is there somewhere between,
25 or what's the next logical pathway between requiring,

1 you know, baseline be to code and having no baseline?
2 Because I don't think that's necessarily where we want
3 to go, either. The free ridership issue becomes more of
4 an issue depending on certain programs and what we
5 expect, for example, the customer behavior to be.

6 So, you know, we've had it available now, for
7 the last couple of years, that the utilities can bring
8 forward program suggestions for market areas that are
9 hard to reach, to identify this is an area where we
10 really want to do something different with our baseline
11 code.

12 And so, that's an immediate opportunity we have
13 to work, already, within our existing regulatory
14 structure.

15 MR. GEE: But I'll reiterate, I'll kind of
16 challenge the State to let's figure out what that number
17 is. I mean, again, we're talking about deviations off
18 of some estimated or assumed number. We really don't
19 know, right.

20 So, you know what the code's supposed to perform
21 to, but if only -- I don't know, throw some number out.
22 Some very low percentage is compliant, your baseline's
23 way off from that model number. But we don't really
24 know how far off, so it's kind of hard to say what's the
25 baseline in this instance. Which is why it's kind of

1 attractive talking about more real-time evaluation,
2 where it's literally kilowatts in and out.

3 COMMISSIONER MC ALLISTER: So, I want to push on
4 that a little bit because, number one, I want to invite
5 Hardy to participate in the Title 24 development
6 discussion. Because it really is more about new
7 construction, than about existing buildings. But it
8 really needs that existing building voice.

9 And, you know, we depend on you, the
10 stakeholder, who's knowledgeable on the ground, where
11 the rubber meets the road, to bring us that data. If
12 the cost profile this thing, in an existing building
13 context, isn't the same as new construction, we got to
14 know that. And that becomes part of the record and we
15 make decisions based on that.

16 So, I really want to invite that conversation,
17 that participation.

18 You know, anyway, I wanted to just make that
19 comment really quick.

20 Tom.

21 MR. DOUGHTY: Well, I wanted to follow on
22 Commissioner Peterman's thought on bringing solutions to
23 the table.

24 Cynthia, you mentioned this concept of a
25 creative alternative. You talked about consumers not

1 willing to bite off a 20-year commitment, or 25-year,
2 whatever you said, Matthew. The fact is that owners and
3 tenants are both struggling with long-term commitments.

4 Have you heard of solutions in other parts of
5 the country, or the world, where creative solutions are
6 actually making a difference in getting customers across
7 that long payback threshold?

8 MS. MITCHELL: It's percolating and developing
9 all around the country. And what it involves is
10 transaction structures that work with, for instance,
11 commercial building owners, to create a revenue stream
12 based off of the savings achieved in that building over
13 time, where you're able to have a strategic plan to go
14 in and begin to reduce load and consumption.

15 And it doesn't happen all at once. But HVAC is
16 a great gateway because you can do efficiency DR-enabled
17 HVAC with storage, then you can start working on the
18 lighting system, and on and on.

19 But the notion is that you have to be able to go
20 deep and broad in a building to get, say, 25 to 40
21 percent savings over a few years, so that then you have
22 a difference between what would have been the baseline
23 consumption, otherwise, versus the metered data so that
24 you can clean that data out to account for all kinds of
25 external factors, and still have a savings base there

1 that's significant.

2 Then you start a pay-for-performance type of
3 contract with the building owner, or a group of building
4 owners, or an aggregated pod of residential customers,
5 right, so that you're able to bill the customer or the
6 building owner at something other than, possibly, their
7 existing metered load. You can work with that savings
8 range, it becomes a revenue stream.

9 You're essentially taking the Amory Levins'
10 negawatt [sic] hours, and turning them into a commodity.

11 And so, TURN has a proposal, NRDC has a proposal
12 before the commission in the IDSM proceedings. There's
13 folks percolating up, all over the State, and
14 nationally, that are vendors, consultants, entrepreneurs
15 that are working with various forms of the AMI data,
16 that are coming up with products that have this baseline
17 counter factual metered data.

18 MR. HARGROVE: Can I add to that?

19 COMMISSIONER MC ALLISTER: Yeah, go ahead.

20 MR. HARGROVE: First of all, I want to point out
21 that a representative of the commercial real industry to
22 sit here and agree with TURN and PG&E, I'm very proud
23 that that's happening.

24 But, also, we have a proposal, it being very
25 similar to what was just discussed, and we have it

1 connected to AB32. Five years ago we approached the
2 ARB. And we think that this is the type of program that
3 can be applied under the existing AB32 structure. This
4 would reduce greenhouse gases.

5 We, as a building industry, have even said we
6 don't even want the credits out of any of this. We're
7 not in the mandatory markets. We're happy to give up
8 all of our credits to the local utility, who needs this
9 type of stuff, if we can figure out how to work out
10 this type of program.

11 It's very similar to, you know, I don't want to
12 mention on-bill financing, but it's the same type of
13 comment is figuring out how to move that delta to be
14 smaller, bring the savings up front so you can have
15 folks make decisions.

16 The common number that comes from my members,
17 when we're talking about these things, is if you can get
18 the return on investment down to three years, it's a no
19 brainer, we're going to do it.

20 But if it hits five years, yeah, we're probably
21 not going to do it unless you're forcing us to.

22 So, we're looking at a three- to five-year
23 return on investment here, when your staff, who are
24 writing these codes, are looking at a 30-year return on
25 investment. And it's the reality and the theoretical

1 aren't there.

2 And we would love to see some type of program
3 tied in with greenhouse -- and that's the other thing is
4 we think a lot of this, the conversation gets mixed up
5 because we -- especially with the AB350 conversation
6 right now, in the Legislature, is does that mean
7 building by building energy efficiency savings by 50
8 percent? Well, you're freaking out a lot of people who
9 own newer buildings.

10 I think what we're really talking about is the
11 statewide portfolio of energy efficiency savings and
12 that's not clear in this.

13 And I think you would have a lot of folks who
14 would be very supportive of the concept, who are very
15 push back on it because they think they're going to have
16 a regulator show up at their front door, knock on it and
17 say, have you received -- have you got your 50-percent
18 energy efficiency savings, yet? And they say, well, I'm
19 a lead gold building that was built in 2008, I'm never
20 going to get there. So, that's a piece of this.

21 And also, lastly, as we're talking about this,
22 there's got to be a real recognition between plug load
23 and envelope. And I think that's not something that we
24 discuss a lot, and that's something that makes my
25 members very, very nervous is that when you build a new

1 building that envelope, because of your code is
2 extremely efficient. But the second folks move into
3 that building, then there's other economic activity
4 that's happening.

5 And that's a lot of our worry here is that the
6 plug load issue is getting mixed in with the envelope
7 load issue. And I think some of my members are worried
8 that the State wants us to become energy cops, and start
9 tapping companies on the shoulder and saying, you need
10 to unplug all your computers at night. And we don't
11 want dry cleaners in our buildings and things like that.

12 MS. MITCHELL: But under new transaction
13 structures, then that plug load becomes a positive
14 attribute of the building that the venture capitalists,
15 the building owner, and the project implementers can
16 work, then, also with the tenants to manage that load in
17 a way that creates an asset that brings benefit to
18 everybody.

19 I had a couple of comments, when it's
20 appropriate on --

21 MR. RECHTSCHAFFEN: Excuse me for one second,
22 Cynthia.

23 MS. MITCHELL: Okay.

24 MR. RECHTSCHAFFEN: Matt, you know, no one's
25 ever talked, either at an agency level, at an

1 administrative level, in legislation about building by
2 building meeting a 50 percent savings target.

3 So, I just want to -- I understand rumors
4 abound. But just let's be very clear, no one's ever --
5 it's always been a large portfolio standard.

6 MR. HARGROVE: I understand.

7 COMMISSIONER MC ALLISTER: And doubling the
8 savings, not having the consumption, right.

9 MR. HARGROVE: And, again, so I understand that.

10 MR. RECHTSCHAFFEN: Right, it's achieved
11 doubling the rate of savings through programs at
12 existing buildings.

13 MR. HARGROVE: Again, I understand that and I
14 think a lot of people who pay close attention understand
15 that. I don't think your average, even sophisticated
16 building owner out there, as they're reading in the
17 paper, understand. And I think it's a communications
18 issue.

19 And I'm really glad that you're here to, you
20 know, clarify that. But I get calls all the time
21 saying, how are we going to make our building 50 percent
22 more efficient?

23 And as you know, the legislation, as written,
24 doesn't really go into that detail. So, we have to walk
25 them through what the regulatory process is.

1 COMMISSIONER MC ALLISTER: So, I just wanted to
2 highlight the fact that the plug loads are absolutely a
3 big deal. They're highlighted extensively in the action
4 plan. We had a workshop the other day about plug loads.
5 And we've got a lot of good ideas about how we might
6 help plug loads become more efficient, both through the
7 Title 20 process and just through different market
8 transformation types of initiatives. And again, data,
9 data gathering, that kind of functionality, and
10 communications kind of also came to the fore there. So,
11 that's a theme that's ongoing.

12 But I agree with you, shell and plug loads, very
13 different, very different dynamics, completely different
14 markets.

15 CHAIR WEISENMILLER: A couple of things. I just
16 wanted to follow up on Aaron's comment about leveraging
17 smart meter data. And, you know, I wanted -- actually,
18 I was going to encourage people in terms of written
19 comments, again, to come forth with ideas there.

20 It strikes me as an area that's rich for
21 potential pilot projects.

22 And I was going to start by indicating, when I
23 first came back into State service, one of the projects
24 that Lockyer was working very closely with PG&E on, was
25 the notion of trying to go through the data, identify

1 the savings in State facilities, coming out of doing the
2 retrofit, and then use those savings to secure -- to
3 basically secure a bond issue.

4 And, you know, after several years of trying to,
5 I think he threw up his hands and walked away, saying
6 that buildings -- building system or other issues just
7 made it impossible to pull off.

8 But again, if there's a way, with the new data,
9 to really identify and use that to securitize financing,
10 be it State or other opportunities, it would be fairly
11 large.

12 So, I was particularly interested in Cynthia and
13 Snu's reaction on ways we might leverage the smart meter
14 data?

15 MR. PRICE: Yeah, I actually think that's also
16 another way of answering Tom's question. I think energy
17 service companies have been around a long time, with
18 performance contracting, and financing investments in
19 energy efficiency.

20 I think that the new thing, and kind of the crux
21 is, you know, for a broader range of customers, other
22 than sort of the institutional customers that have
23 participated in that, is isolating, well, what is the
24 savings attributable to -- you know, and get compensated
25 in an assortment of cash flow stream to actually make

1 that ESCO model work for -- you know, for residential,
2 for a broader set of commercial, industrial.

3 And so, it's really the smart meter, can we
4 isolate, you know, how much savings I'm getting from
5 this customer out of that, in order to create the cash
6 register for energy efficiency, which would leverage the
7 financing, which would allow this whole market to kind
8 of -- without that piece, we're back into a model that
9 we've tried before, in a lot of places and for a long
10 time, and that gets difficult. Which is that, you know,
11 just traditional ESCO model.

12 MS. MITCHELL: And I think the smart meter data
13 is a big step of that, but it can't get us there unless
14 you have a what would otherwise occur, the counter
15 factual. So, we need to be able to take historic data,
16 other building data and do, essentially, algorithm
17 construction of load meter data to create that counter
18 factual. And there's companies out there that are doing
19 that. TURN's proposal and NRDC's proposal reference
20 that.

21 COMMISSIONER MC ALLISTER: Great, thanks. So, I
22 want to just take this a step further. So, this sounds
23 like procurement that you're talking about, not
24 necessarily the EE portfolio.

25 So, if we're -- you know, in a way, we've got

1 the LTP -- anyway, I won't get into that.

2 But, you know, if we're going to have a
3 secondary market for these products, say, and go
4 leverage private capital, and bring them to these
5 projects, and have savings we can all count on, you
6 know, the EM&V, which is essentially what you're talking
7 about, in real time, using smart meter data, the
8 evaluations of the counter -- you know, establishing a
9 baseline and departing from that baseline, you know,
10 that needs its own ecosystem of rules.

11 And maybe they're built into the contracts
12 between some aggregator and each entity. Maybe we're
13 talking mostly commercial, where we have bigger -- you
14 know, not so much residential. I don't know, I'd be
15 really interested in your thoughts on that.

16 But what is your kind of high level, but your
17 thought on what that ecosystem looks like and how it
18 has, how it could impose the right kind of
19 accountability. You know, as opposed to the EM&V system
20 that we have now?

21 I mean, it's not obvious to me that we're
22 talking about anything that's all that more streamlined
23 or more simple, but maybe it is.

24 MS. MITCHELL: Before you jump to what the
25 ecosystem or the rules on something like that would look

1 like, we're desperate for the need for ecosystem of
2 experimentation.

3 What's happened in LTTP, with efficiency to
4 date, is still siloed solicitations and siloed
5 contracts. In efficiency regulatory it's, you know,
6 consumer investment uptake.

7 We have no experimentation with these new,
8 cutting edge products and concepts of working with site-
9 specific loads, doing bundled efficiency, and creating
10 counter factual baselines.

11 That's why TURN and NRDC have asked for pilots
12 in the efficiency, in the IDSM proceedings. Please
13 don't jump in to try and regulate something that hasn't
14 been tested and experimented with.

15 And that's why I said, we need to have
16 experiments that allow for success and failure. You
17 know, the problem is that I think that we're adverse to
18 taking risk, and the risk is in, you know, staying with
19 the status quo.

20 COMMISSIONER MC ALLISTER: Thanks.

21 CHAIR WEISENMILLER: Let me do another follow
22 up. So, Aaron talked about evolving the cost
23 effectiveness test for EE, and it seems like it would be
24 good to have some discussion, particularly between you
25 and Snuller on what you thought -- or where the

1 evolution should be.

2 MR. PRICE: Well, I'm happy to do that. I mean,
3 I guess I didn't respond exactly to Aaron's point. But
4 it seemed to be implying that you're thinking the
5 program administrator test is kind of the way to go.

6 And I'm more of a traditionalist on the total
7 resource cost test, recognizing we have the portfolio,
8 you know, it's the TRC for the whole portfolio. I mean,
9 I think that gives a lot of flexibility in there.

10 So, I don't know where I'm going with that, but
11 just to queue up your question, you know, it seems like
12 there's a way but --

13 CHAIR WEISENMILLER: So, what were you thinking?
14 And, Cynthia, what's your reaction after he says that?

15 MS. MITCHELL: Well, and I did include some end
16 notes on my Power Point, on this, because I agree with
17 Snuller that it's you don't throw out the cost
18 effectiveness methodology.

19 And there's a long history that's been tested in
20 California, and not just California, but around the
21 country and the world. Because you've got to recognize
22 that your 1980's standard practice manual has been
23 adopted in -- you know, nationally. And most states
24 operate under a total resource cost test for good
25 reason. It is the comparison of what otherwise would be

1 spent, it's that long-run avoid cost.

2 Now, the fact that there might be some measures
3 that are not getting an incentive, you said the more
4 expensive ones, we need to be looking at that
5 specifically. And is the whole measure, as you're
6 describing it then, the utility and the customer's total
7 cost of that. What you're describing is something that
8 exceeds the long-run avoided cost.

9 And then, for the utility to offer an incentive
10 for something that it would be cheaper for them to go
11 out and get on supply side, that goes against the whole
12 nature of efficiency, to begin with. And we need to be
13 looking at how do you bring that cost, of that specific
14 technology down so that it is a packaged resources, if
15 that's truly a niche in the market that needs to be
16 filled.

17 And one of the things that we're not paying
18 enough attention to, I believe, and this goes to the
19 point about, Cliff, your point about free ridership.
20 You know, the deviation between reported gross savings
21 from the utilities, and then the adjusted net, when you
22 look at the 2010-12 EM&V, it's 50 percent. It's not all
23 the free ridership.

24 But we have that big of an adjustment in the
25 existing portfolios, okay. Which means, generally

1 speaking, that a lot of what we're doing in efficiency
2 is just sort of following the market. The fact that,
3 you know, the majority of the savings are compact and
4 linear fluorescents, those are not cutting edge lighting
5 technologies.

6 So, when we talk about, for instance, what would
7 to-code get us? Well, to-code's not going to get us a
8 lot of savings all of the sudden, okay, because the
9 utilities are already getting a lot of savings counted
10 from codes and standards. A third of the portfolio
11 savings, now, are from codes and standards. And that's
12 at the lowest cost you can get and it's just a pass
13 through on the ledger and counted as savings, okay.

14 And the proposed goals now take that up to 50
15 percent codes and standards.

16 What we'd get to do if we went to code, and TURN
17 has supported to-code baselines as a general construct,
18 or concept, is that we get to go to to-code and beyond.
19 We get to go after the harder, more costly measures and
20 activities, and operations. We get to go to to-code and
21 beyond whole building systems. We get to go to highest
22 quality. And we get to go to quality installation and
23 maintenance.

24 And so, in other words, the advantage of to-code
25 and beyond is then to go and realize savings that are

1 otherwise, right now, paper transactions. But that's
2 going to raise -- all other factors equal, that's going
3 to raise the cost of these existing portfolios, okay.
4 And these existing portfolios are struggling to be cost
5 effective.

6 In our analysis, TURN's analysis in the EE
7 proceedings, just recently, we believe the current
8 portfolios are not cost effective. And we've submitted
9 on the record to that effect.

10 So, you know, there's to-code would be great.
11 We think, particularly, probably in HVAC. Just
12 horrendous problems there. But it's got to come with a
13 lot of creative design and implementation.

14 It's not going to just give us, all of the
15 sudden, a big float in our savings.

16 COMMISSIONER MC ALLISTER: I want to ask Aaron,
17 and maybe get Snu and Cynthia's reaction. But we -- so,
18 the utilities both do codes and standards development
19 work, and then do programs to try to get people to do
20 stuff.

21 And you're arguing that you want that second
22 bucket to include more to-code. So, have you thought
23 about how much savings on the code -- from the codes and
24 standards activity, itself, would you be giving up in
25 order to then capture some of them in the voluntary

1 program side?

2 MR. JOHNSON: So, since I've got the mic, I'm
3 going to jump back. Can I finish with one thought on
4 Chair Weisenmiller's comment, which is, you know, when I
5 look back at the participant test, one of the things
6 that I look to and where I've cut my teeth at PG&E, on
7 the customer side of the business, has been in
8 residential solar.

9 And we are -- customers are bringing, and third
10 party, the entities, are bringing a tremendous amount of
11 capital into that. If you actually did a TRC on
12 residential solar versus the avoided cost of the utility
13 buying utility scale solar, it wouldn't pass.

14 But we're accessing that money and it's
15 revolutionizing our business, certainly in California
16 and definitely in places, like Hawaii and Germany.

17 But I think, you know, we're evolving in EE,
18 we're doing revolution in other places. Some of the
19 stuff we're talking about doing with some of these
20 future EE goals is going to require, probably, a little
21 more revolution, not just evolution. So, I think that's
22 where I'm leaning on those tests.

23 I don't, certainly, have the history that Snu
24 has on this, and I would defer to him in many instances.
25 But I think we need to look at how we just capture that

1 same kind of capital that's been captured on the DG side
2 of things.

3 So, after that, I've forgotten your question, so
4 I apologize.

5 COMMISSIONER MC ALLISTER: Yeah, no worries.
6 So, I guess I mean -- so, I'm going to comment on what
7 you've just said and Snu can -- we've got a thread over
8 here somewhere.

9 (Laughter)

10 COMMISSIONER MC ALLISTER: So, people make
11 investments for lots of different reasons. And, you
12 know, we can talk residential, commercial, whatever, and
13 they're doing it for all sorts of reasons that include
14 non-energy benefits. And they may get windows that are
15 not cost effective from a straight energy point of view,
16 and they're investing a pile of money because they love
17 them. They make them more comfortable and they make
18 their house look better, et cetera, et cetera.

19 So, at times I'm mystified as to why we would
20 include the global cost of that upgrade and judge to
21 project only on its energy benefits, when that's only
22 really a small sliver of the decision. So, I think we
23 have to -- you know, you said in your presentation,
24 Aaron, that we're sort of warning customers not to make
25 non-cost effective investments, and that's kind of how

1 we're capping this thing.

2 Well, you know, I think we're -- we want to
3 encourage them to make those investments. Why are we
4 second guessing them, in their own decisions, when
5 they're doing what's in their own best interest and we
6 can, by the way, capture some energy efficiency savings.
7 So, mobilizing those projects is a good thing, not a bad
8 thing.

9 But I guess my question to you was, you know,
10 the utilities --

11 MR. JOHNSON: Giving up the energy --

12 COMMISSIONER MC ALLISTER: The utilities invest
13 in codes and standards development, and then those
14 become -- you know, we adopt some outcome of those.
15 Those influence our -- you know, they go into our
16 proceeding and we use them in our decisions, and the
17 utilities then get some credit for having helped
18 developed those, I think, in their overall -- you know,
19 you get granted some upside for that. So, there's
20 attributed savings there.

21 So when we talk about, then, going and accessing
22 to-code savings on the program front, in another part of
23 the portfolio, necessarily you're going to be giving up
24 some of those initial savings, and have you guys thought
25 about that?

1 MR. JOHNSON: Yeah, and I don't have an exact
2 number to give to you on that right here. We're very
3 proud of the work we've done, you know, working with the
4 CEC on helping develop that evolution of code, and we
5 take great pride in participating in that process. And
6 we recognize that there are some savings that come from
7 that.

8 It would be easier for us to, frankly, operate
9 under the regime we have today, where there is some
10 imputed assumption about what that uptake of code is.
11 But, you know, what we think we're giving up by doing
12 that, we're getting in the simplicity that comes on the
13 other side, of using meter data to figure out what those
14 savings are.

15 And, obviously, when you go there, there's some
16 transition of baseline that you have to calculate. But
17 once you've made that transition, you know, then we're
18 accountable for delivering those real savings and we're
19 not making all these assumptions about things that may
20 or may not be occurring.

21 And so that's why, to really tackle that issue,
22 we feel like you really have to couple it with the meter
23 data, as well. So, we recognize that we're giving up
24 something, but we think that, you know, it will make us
25 more accountable for the programs we administer, and

1 make it more transparent and easy for us to figure out
2 whether we're being successful or not because we sort
3 of -- with some aspects of the after-the-fact review
4 behind us, we'll have much more real-time data.

5 COMMISSIONER MC ALLISTER: Have you talked to
6 your forecasting people about this, you know, where you
7 think those savings actually lie, whether it's in codes
8 and standards, and the conversation we were having
9 before or whether it's something that's just completely
10 unaccounted for, or what?

11 MR. JOHNSON: You know, I don't have the graph
12 right in front of me. We've looked at it about -- it's
13 across different technologies. And so, we think it's
14 pretty spread across sectors and different technologies.
15 We didn't identify something that is the sort of silver
16 bullet of that. And we can submit, in our comments,
17 we've done some data on that. I just don't have it off
18 the top of my head, but we can submit that as part of
19 our comments.

20 MS. MITCHELL: Well, Navigant has a study
21 underway on baselines that's supposed to be digging --
22 ferreting out some of this information that you're
23 asking for. And I've forgotten what the date is, due
24 date on that. You're not working on that?

25 MR. PRICE: No.

1 MS. MITCHELL: Oh, you're with E3, I'm sorry.

2 CHAIR WEISENMILLER: Actually, I think this
3 conversation is good, it really lays -- it helps us
4 segue into market transformation, so let's move there,
5 now.

6 COMMISSIONER MC ALLISTER: So, I just got a big
7 pile of blue cards and I guess I'm going to -- we're at
8 3:15, which is I think where the panel was supposed to
9 end, anyway. So, let's segue to the next panel and
10 we're going to do all the blue cards at the end, at this
11 point.

12 MS. RAITT: So, the first speaker on the Market
13 Transformation Strategy Panel is Talbot Gee.

14 MR. GEE: I keep drawing the short straw.

15 COMMISSIONER MC ALLISTER: You again, go ahead.

16 MR. GEE: Right. Well, I'm going to use by
17 bully pulpit here as the transition between the two.
18 Because, first off, market transformation, I think
19 anyone else who's ever heard me speak on this topic
20 knows that I get a little bit of a twitch when I hear
21 "market transformation". It's thrown around there a
22 lot. It's become a very casual term.

23 But I'll tell you, from our perspective, or what
24 we view as the industry's perspective, it's always about
25 what's wrong with us. It's always about transforming

1 us. Even the big, bold strategic plan, talks about
2 transforming the HVAC industry.

3 Well, you know, we were kind of here before all
4 this kind of stuff, and we're expecting to be here long
5 after. But we're just one piece of this whole thing.

6 And this idea that market transformation
7 excludes this entire machine or infrastructure that is
8 all of this discussion, energy efficiency, baseline
9 assumptions, all that sort of thing, is somewhat
10 offensive, I think, frankly, to people who make their
11 living in this industry, installing these products or
12 providing these solutions.

13 I'm glad this is the last discussion because my
14 comment to Jeanne, when she called me about this, was
15 this looks like a very fragmented agenda, with a lot of
16 bunch of silos, when all of these things are
17 intrinsically connected.

18 How can you have a conversation about new
19 technologies over here, but then market transformation
20 over here, or codes and standards over here and market
21 transformation here.

22 Where we're at right now, to put it bluntly, is
23 this current environment, in my opinion, creates a
24 rather adversarial relationship between multiple parties
25 in the State as it relates to energy efficiency.

1 Everyone's kind of arguing and they're in their
2 fox holes, right, and no one wants to give an inch
3 because they're afraid of the mile being taken from
4 them.

5 And where does it leave us? It leaves us with
6 very mediocre energy efficiency results in the big
7 picture, in terms of cost effectiveness, the efficiency
8 of dollars spent in all the programs. And then, I'll
9 tell you from the Trade Allied perspective, a ton of
10 frustration. Because it's very time consuming to
11 interact with efficiency programs. And, frankly, to
12 very little benefit.

13 And this is not just California, although I will
14 say California is maybe a hyper example of this.

15 But across the country we did a survey, and a
16 research project years ago, 70 percent of our members
17 could not attribute a significant business benefit to
18 cooperating in energy efficiency programs. And that's a
19 scary number because we like to think, as an
20 organization, we've been very proactive getting out
21 there and trying to help programs, and connect members
22 to programs. But they're seeing no business impact to
23 it.

24 So, if you're a business owner are you going to
25 keep doing it? Does it make sense for you to do it?

1 This adversarial relationship is a big reason
2 why I don't think we've achieved these market
3 transformation objectives.

4 I will tell you, industry has a lot of market
5 insights, and a lot of data, and a lot of -- a lot of
6 information about what's really going on in the
7 marketplace. But I will tell you, at least from our
8 perspective, we're very, very guarded about what we do
9 with that because we don't know how it might come back
10 to bite us in the future. Because we don't feel we have
11 a great partner, necessarily, with all the powers that
12 be. Rather, we are taking more defensive postures
13 oftentimes, just making sure something really bad
14 doesn't happen, rather than achieving something
15 excellent, right.

16 The WHPA was an effort to achieve market
17 transformation. That's why it was created. It was to
18 bring the industry stakeholders in and to create a more
19 positive environment between industry stakeholders and
20 all of the energy efficiency infrastructure in
21 California.

22 There's been a lot of great things that have
23 come out of it, a lot of great relationships and
24 discussions that never would have happened otherwise.
25 But I'll also tell you, there's a ton of industry

1 frustration, too. Because every time we start thinking
2 we're talking about something cool, there's something
3 about a TRC or a cost effectiveness measure, or
4 something we don't understand that says why we can't do
5 it, right.

6 And we're asked, what do you need? So, we bring
7 together members, who devote tons of time, and lots of
8 information and data, and they say, these are the
9 markets we're having trouble penetrating. No matter
10 what we do, we can't get high efficiency, central AC
11 systems above 16 percent super-efficient, or high-
12 efficient. That's what we want to focus on.

13 And the answer is, well, no, that's not
14 efficient enough to pass our TRC. We need you to get
15 to, you know, leading edge technology.

16 Well, we can't even get people to what's
17 currently available right now. So, why spend time doing
18 that? That's an inherent barrier.

19 We'd like to push an idea, similar to kind of
20 the smart meter concept of saying, look, we can tell you
21 with a pretty high certainty what, for example, the
22 volumes and SEER mixes are of systems installed in the
23 State, right.

24 Why not challenge us or let us submit a
25 challenge to improve that by some percentage and we're

1 incentivized to do that, right.

2 So, we say, okay, we think if we can get a
3 budget of X, we can turn this market by five percent.
4 I'm throwing it out there, you know. And just let us go
5 for it and if we screw it up and don't do it, we'll
6 never get the change again, right, until the next time
7 around. But at least give us a chance.

8 Instead, we spend a lot of time creating a very
9 articulate argument about all these opportunities, and
10 all this sort of stuff, only to find out it won't pass
11 the TRC.

12 So, then we couple this with standards, right.
13 So, we are dealing with increased standards on water
14 heaters, increased standards on central AC, increased
15 standards on air source heat pumps. Eventually,
16 increased standards on residential gas furnaces.

17 Well, guess what, across the country, in other
18 parts of the country, that's eliminating portfolio TRC
19 cost effectiveness by eliminating products that were
20 once heavily, heavily favorable to their portfolios,
21 like water heaters and furnaces.

22 Now, if the minimum standard goes up, there's no
23 estimated savings because the assumption is everyone's
24 just going to go flock to these new water heaters. You
25 lose all of that cost effectiveness, those savings, and

1 you can't subsidize the next emerging technologies
2 program over here.

3 So, this whole concept of portfolio becomes a
4 huge handcuff. And frankly, again, it's all built on
5 the assumption that just because a legislature, or a
6 regulatory authority, or the Federal government deems it
7 so, that the market, automatically tomorrow, will do
8 that.

9 And we can tell you that's not what happens. We
10 had the most massive depression in our industry, in
11 terms of unitary sales, after the effective date of the
12 13 SEER minimum standard in air conditioners.

13 It was a 40 percent drop in this State, alone,
14 in terms of volumes, when that happened. We are
15 barely -- we are not even back to where that line would
16 have been now, even after a few years of some stronger
17 economic environments.

18 So, who pays for that? Well, frankly, not the
19 State. The people who are living in that environment
20 here.

21 So, when we talk about market transformation,
22 I'll kind of summarize it up, I said, why do we view
23 this, again, as trying to predetermine outcomes that no
24 one can really, truly predict?

25 Why don't we treat it more like what your State

1 University system does with research projects. You
2 don't commission a research project and mandate the
3 outcome, right.

4 You commission the research project based on the
5 hypothesis of what you think you might learn. But the
6 whole point is, oftentimes your hypothesis is wrong, and
7 you learn something new, and you do something better the
8 next time.

9 Why don't we do the same approach here, with
10 energy efficiency? Why don't we do it as challenges,
11 our bounties, or whatever the case may be for
12 hypothetical savings opportunities, unleash the
13 resources to do it. And if the deliverers can't do it,
14 then you have to take another swipe at it.

15 But we shackle ourselves, you know, we are
16 heavily involved in this residential upstream program,
17 which was targeted at distributors, incentivize
18 distributors to stock and sell higher efficiency central
19 AC products.

20 And we can back with a very detailed
21 recommendation list of what we needed that program to
22 look like, with very accurate incremental costs, by the
23 way, which is a touchy subject among my members. But
24 they felt the "squeeze was worth the juice on that one".
25 So, they gave a lot of data there to do it.

1 And what we got back was, yeah, these things
2 would be great, but they don't fit into our current
3 calculations. So, you can do this at the super max
4 tech, but only in these little areas. It's just not
5 cost effective from an industry stand point to do that.

6 So, we had an opportunity there in what I
7 thought to be kind of transformative in the way we
8 design and implement a program, and you got very real,
9 raw feedback from members of the industry, contractors,
10 manufacturers, distributors, a every extensive, detailed
11 proposal, and everything that everybody from industry --
12 that the industry wanted got gutted out of the program.

13 And as a result, to my knowledge, it's really
14 gone, basically, nowhere since. So, that was a lot of
15 time, money and effort that was spent by the State, by
16 the utilities, by all the powers that be, to basically
17 no outcome.

18 When we think we would have done better by
19 saying give us a challenge, take a little risk, but we
20 think we're going to deliver even more than maybe what
21 the immediate assumptions might have been.

22 So, that being said, you know, I wanted to stay
23 positive with the fact that we want to partner and work
24 with this, but the current infrastructure makes it
25 extremely, extremely difficult to do so. Thanks.

1 COMMISSIONER MC ALLISTER: Thanks very much.
2 And I want to encourage you, whatever documentation you
3 had and whatever sort of thinking you had done, if you
4 can submit it to this record or, you know, I don't know
5 what process or record you were talking about. I don't
6 think it was in this Commission.

7 But if that -- you know, that's exactly the kind
8 of collaboration that I think we all want and we want
9 to, now, put our thinking caps on and see how we can
10 move the ball forward.

11 So, you know, I certainly sympathize with the
12 boots-on-the-ground perspective. So, thanks for that.

13 CPUC COMMISSIONER PETERMAN: I'd just like to
14 also clarify, too, as we get into the discussion, that I
15 think we all see -- when we talk about market
16 transformation, see it about ourselves, as well as any
17 industry entity, as well.

18 Because a lot of the discussion, I think what
19 we're going hear from next is a focus on, you know, how
20 do we set ourselves up from a regulatory model to
21 facilitate that type of engagement that you've
22 mentioned. And so, the finger's pointing inwardly, as
23 much as outwardly.

24 MR. GEE: To Jeanne's credit, that was the
25 argument that got me to fly 2,300 miles here.

1 CPUC COMMISSIONER PETERMAN: Well, welcome.

2 COMMISSIONER MC ALLISTER: Well, definitely. I
3 think we're both --

4 MS. MITCHELL: Out of his own pocket.

5 COMMISSIONER MC ALLISTER: Well, thank you.
6 We're both in that boat, actually. I mean, in the code
7 discussion before, you know, I think the last panel, I
8 think we see that there are solutions that we need to
9 come up with. Not just in the program environment, but
10 also with how code gets applied to these buildings.

11 CPUC COMMISSIONER PETERMAN: But keep
12 challenging us.

13 COMMISSIONER MC ALLISTER: Yeah, absolutely.
14 I'm not going to ask you about the tracking system for
15 HVAC units coming into the State. You said we needed
16 more information about that, so that's right there on
17 the table.

18 MR. GEE: Yeah, quid pro quo, yeah.

19 COMMISSIONER MC ALLISTER: Okay, great.

20 So, who is next?

21 MS. RAITT: Next is Susan Stratton.

22 COMMISSIONER MC ALLISTER: Susan, yeah. Great,
23 go ahead. Thanks.

24 MS. STRATTON: Thanks for inviting me to
25 represent NEEA, here at your workshop. So, I appreciate

1 it, Commissioner McAllister, and the rest of you who are
2 here.

3 Because I am from out of your territory, I'm
4 here to tell you how I think -- why I think market
5 transformation programs have been a success in the
6 Northwest, and mention a few key attributes of how we do
7 it, that might be helpful to you. I'm not sure I can
8 solve all the HVAC problems that you've seen, or we've
9 just heard about. And my one example I'm going to talk
10 about today is not HVAC, so I don't know if that's good
11 or bad.

12 So, I'm going to provide a broad perspective on
13 the Northwest, and I hope you'll find some good
14 takeaways that might be helpful going forward.

15 Go ahead. Let me say that I want to scale back
16 about 20 years ago, and when we were maybe at the same
17 place you are here, and thinking about the original
18 hurdles, organizational hurdles that we faced in 1996.
19 And so, the conclusions by the founders and the
20 regulators, as NEEA was created, were these.

21 So, the funds for NEEA, as a market
22 transformation organization, had to be allowable
23 expenses by the regulatory bodies, which are not just
24 the IOU regulators, by also the public utility
25 regulatory community.

1 The Alliance had to operate in markets that
2 crossed state and utility service territory boundaries.
3 We needed to be voluntarily funded, through an equitable
4 funding formula, for all of the utilities in the region.

5 And in the beginning, those were just electric
6 utilities. And I'll fast forward and the good news is,
7 just starting in January of this year, we've added
8 natural gas.

9 Our work had to be regularly evaluated and our
10 success needed to be judged on a longer-term horizon.
11 We regularly use a 20-year planning period to analyze
12 our results.

13 And we had to prove that market transformation
14 could be replicated and result in sustained, measurable
15 market change. And I'll give you some examples of that
16 in a few minutes.

17 So, fast forward to today, we're almost 20 years
18 out. We're in our fifth funding cycle. We're funded in
19 five-year increments by this group of folks that you see
20 here. And you'll see sprinkled in there are a few
21 natural gas, only, utilities. We just did our very
22 first funding cycle with natural gas.

23 So, NEEA's been the catalyst for market
24 transformation in the Northwest. But it's these funding
25 organizations and their staff who are dedicated and

1 passionate about working together on energy efficiency
2 through their resource acquisition programs, and through
3 the alliance of all of us working on market
4 transformation. Which I'll talk about in a little more
5 detail in a minute, but also includes from emerging
6 technologies, all the way through code work, and market
7 monitoring long after we're done being involved in the
8 market.

9 So, just a quick snapshot of the NEEA funding
10 today. One more slide. We have a rather complicated
11 formula, but it's one that everybody agreed on. And
12 this is where our funding comes from. Bonneville Power
13 represents about 130 public utilities, and Energy Trust
14 represents the investor-owned utilities in Oregon, and
15 then on down through the smaller utilities.

16 So, we have our two largest funders being --
17 representing indirect funders of NEEA, and others as you
18 see there. All of the direct funders of NEEA have a
19 seat at the NEEA governance table, and I'll tell you a
20 little bit more about that in a minute.

21 Let's go to the next slide. So, in a nutshell,
22 for this funding period, 2015 to 2019, this is our total
23 funding budget, \$169 million for electric and about \$18
24 million for natural gas.

25 NEEA represents about 10 percent of the utility

1 investment in energy efficiency, and we deliver about 20
2 percent of the savings in the region.

3 So, the success of NEEA is based on the
4 sustained ability to create the economies of scale that
5 it takes to move those markets. We have both economies
6 of scale, we have the ability to leverage markets that
7 individual utilities might not have. And we also have
8 something we call risk pooling. As we're looking at new
9 technologies in the market, we can test those
10 technologies.

11 And let me tell you, we've found some duds and
12 thrown them overboard. And sometimes we found the duds
13 a little bit later. But it was just NEEA that had the
14 clean up to do, rather than each individual utility.

15 So, many of the products that are involved in
16 utility resource acquisition programs were first tested
17 and piloted by NEEA in the field, and evaluated by
18 third-party testers.

19 But let me talk for a minute about our
20 governance. The governance is by our funding utilities.
21 And I think this is key to the sustained voluntary
22 funding and continued collaboration.

23 So, the public representation is also there, as
24 you see in four state representatives and a public
25 interest representative. But, primarily, the board

1 governance is by the funding utilities.

2 This is something that every five years, as we
3 recreate our funding plan, we wrestle quite a bit with
4 finding the sweet spot that makes all of the funders
5 happy and want to come back, and sign a contract with
6 NEEA.

7 And I know my predecessor, Margie Gardner, is
8 here and we chatted a bit just before that. And I don't
9 think it gets any easier every five years. Every five
10 years, situations will have changed for each of our
11 utilities, some needing peak, some not needing peak,
12 some having a desire to meet all of their load growth
13 through efficiency, and some having excess capacity.

14 So, finding the sweet spot of what market
15 transformation can deliver to 145 utilities is about a
16 year-long process, as we wrestle with the kinds of
17 markets, and each sector, the kind of research that we
18 might do.

19 But in the end, we had a successful planning
20 process and all the utilities, with the exception of one
21 small one, resigned to be a funder of NEEA going
22 forward.

23 Now, you might ask, you know, what do the
24 regulatory commissions have to say about this? The
25 regulatory commissioners leave it to the utilities to

1 come before them, to prove that they're getting all of
2 the cost effective energy efficiency in their integrated
3 resource plan.

4 Most of the commissions and their staffs are
5 encouraging participation in NEEA, but none absolutely
6 require it. So, that's why the utilities, you know --
7 if the utilities volunteer to support NEEA and
8 participate in the governance of NEEA, then we have a
9 really tight alliance that works quite well together.

10 They feel ownership. When we say alliance, we
11 don't mean this company in Portland, Oregon. We mean
12 all the utilities that are participating in NEEA. So,
13 NEEA is just this little company, but the alliance is
14 all of us in the four states.

15 We also have 85 staff in Portland, but we also
16 depend not just on our utility partners, but contractors
17 and market partners for special expertise, and field
18 work, and third-party evaluation of all of our work.

19 Okay, the next slide. And a little bit closer
20 focus on our governance structure. I'm the Executive
21 Director at NEEA. And, as such, I report to this board
22 of directors which has about -- it has five board
23 committees.

24 But beyond that, we have a number of advisory
25 committees by sector and function. And those are

1 advisory to the staff and the executive director.

2 We've also, very recently, given one of those
3 advisory committees, the Regional Portfolio Advisory
4 Committee, some governance role in the forward movement
5 of our initiatives. So, there's a number of stage
6 gates, two stage gates where that Portfolio Advisory
7 Committee will look at our theory of market
8 transformation, decide whether this is worthy to move
9 forward and to continue investment.

10 So, this is really given a lot more
11 participation at a lower level, below the board, and
12 it's really increased. Actually, it's increased the
13 engagement of our funders going forward. And this was
14 really a condition of moving forward with our new
15 funding model, and we're all really pleased with how
16 that's worked out.

17 Okay, the next slide. And now, I'm going to
18 start to show you the spaghetti diagram. I will say it
19 takes a whole region.

20 If any of you have seen Tom Eckman, of the
21 Northwest Council, any of his presentations, he'll quite
22 often shown the spaghetti diagram of the northwest
23 collaboration. And this is just a tiny speck on his
24 diagram where -- and I'm sorry, I didn't mean to show
25 myself as the center of the universe here, it just

1 happened that way.

2 I do report to a set of directors. Advisory
3 committees report to me. Every five years we take all
4 of this input, and all of the work that we do together,
5 and reset our plans.

6 And on an annual basis we have operational plans
7 and we have quarterly reports to those board members.

8 You'll notice we do not see the regulators on
9 here. We do not report to regulators. We report to
10 utilities, who report to their regulators. And that's
11 important, the utilities value that relationship with
12 the utility. We stand behind the utilities. We give
13 them data and information to support the savings that
14 we've achieved through market transformation. And
15 they're the ones that file that to the regulator.

16 We do have relationships with the regulators. We
17 serve as a source of information, when called upon, but
18 we do not have a regulatory mandate as NEEA.

19 We also work pretty closely, you'll see up in
20 the right corner I just have "region". That includes
21 our council, it includes our regional technical forum,
22 state government, et cetera. But we're very closely
23 involved with them as they create -- for example, as the
24 council creates the integrated resource plan for the
25 region, and also with the Regional Technical Forum.

1 So, I will say that the regulators do support
2 the funding of NEEA, by the utilities, as long as the
3 long-term results are cost effective. So, it's the
4 long-term NEEA portfolio that's viewed by the regulators
5 in terms of cost effectiveness.

6 I think that's it, next slide. So, I guess I
7 should have started with this. I know, I heard Talbot
8 say, oh, market transformation, you know what are we --
9 well, what does it really mean?

10 We have a very specific definition that we use
11 and people may use a different one. This is the NEEA
12 one. It's the strategic process of intervening in a
13 market to create lasting change.

14 And that's really just a lot of information
15 packed into that. So, let me show you a picture on the
16 next slide. And go ahead and push the -- there we go.

17 What I want to show is this is a typical S curve
18 that you'll see, representing market share over time.
19 This could be for any product. But as NEEA determines
20 where we might remove barriers, we shift the curve up
21 and to the left. So, the baseline is that lighter grey
22 line on the bottom, what would have happened without
23 NEEA involvement or Alliance involvement, and the
24 movement that we can make is that upper line. And the
25 area between is how we measure market transformation.

1 As we begin to work in a market you'll see, you
2 know, in the early adopter area the dollars invested by
3 NEEA are pretty high. There's no savings coming out,
4 yet. And as we are able to accelerate through the
5 market, we may hand off. The utility may take the
6 product for a resource acquisition program. NEEA will
7 continue to monitor and be involved in codes and
8 standards at some point in the market development.

9 But through this process, we're always gathering
10 information on our field tests, working with our trade
11 allies to understand how new technologies are working in
12 the market so that as we sit at the codes and standards
13 table, we can say this is how it's working in the
14 Northwest.

15 If we look at our entire portfolio in our last
16 business cycle, our levelized cost over that cycle was
17 1.5 cents per kilowatt hour. So, very cost effective
18 working on this broad market approach.

19 The next slide is another just quick picture of
20 how NEEA works. And I also want to compliment Ralph
21 Prahl and Ken Keating's paper that they submitted in
22 December. And they have a much longer explanation of
23 how market transformation works and I think they did a
24 really nice job.

25 This is just, you know, in a quick nutshell, we

1 identify barriers that impede market adoption of
2 products, services and practice. So, we're not just
3 looking at technologies, but the broad array of services
4 and practices, as well.

5 We look to see where NEEA might intervene to
6 remove a barrier. If we can't find a way that makes
7 sense for NEEA to do it, we won't take that product any
8 further.

9 And then, finally, the market is transformed as
10 that barrier is removed. Someone asked earlier, how do
11 you know when the market's transformed?

12 And again, I'm going to call on Tom Eckman from
13 the Council, because he has a great way to describe it.
14 And he says, "A market is transformed when it's" --
15 "Technology is transformed when it becomes illegal,
16 immoral, or unprofitable to continue to that
17 technology". And, obviously, he's referring to codes
18 and standards, being wasteful, or you're not having a
19 business process that's efficient. So, I kind of like
20 to use that.

21 So, let's talk, let's use an example so I can
22 make this a little bit more real, on the next slide.
23 Let me talk about where NEEA and California utilities
24 work together on market transformation.

25 Together, the California utilities that we

1 worked with, and NEEA, represented 19 percent of the
2 U.S. market. That's just enough for market leverage
3 with large retailers.

4 So, in 2009, we knew that customers were on the
5 verge of changing from the tube-based digital TVs to
6 digital TVs, and energy efficiency was not a factor.
7 Most TVs had an Energy Star label, but beyond that there
8 was not much differentiation.

9 So, on behalf of the Northwest utilities and
10 ratepayers, we joined forces with California utilities
11 and we were offering retail buying groups cash
12 incentives for stocking and selling the most efficient
13 TVs.

14 Together, 19 percent of the U.S. population got
15 their attention. The amount of money we paid was very,
16 very small. The success in the market was that, you
17 know, over a short period of time, now the average
18 television in the Northwest used 60 percent of the
19 energy of an incandescent light bulb. The Energy Star
20 specs are more stringent than in 2009, and every TV on
21 the market is more efficient than our first incentive
22 tier.

23 So, we're pretty proud of this. You know, we
24 had some great results and I think the cost
25 effectiveness of this particular initiatives was less

1 than a penny per kilowatt hour.

2 MR. RECHTSCHAFFEN: Susan, can I just -- how
3 long did the program last until you -- how long did you
4 provide the incentives?

5 MS. STRATTON: Next slide, let me just go to it
6 and you'll see. This is really a picture of that S
7 curve. So, as we provided incentives for about four
8 years, and each year we rolled up to a higher tier
9 incentive and really squeezed those incentives pretty
10 small.

11 So, we got out of providing incentives in 2014.
12 And so, again, here's the real S curve from what we
13 measured. And this is a very quick initiative so that
14 we saw the market transform to a higher market share
15 very quickly, and leveling off, you know, in 2019 [sic]
16 to about where it would have been without our
17 intervention.

18 But we were able to capture that opportunity
19 when people were changing out their TVs. So, this was
20 one of the more quick moving initiatives that we did and
21 most successful.

22 Heat pump, hot water heaters, on the other hand,
23 will be one of the longest term investments that we will
24 have made, just in terms of being involved.

25 But this one is a good one to show kind of a

1 quick win in a pretty interesting, short S curve.

2 COMMISSIONER MC ALLISTER: Susan, could you sort
3 of chime in or make clear where the minimum performance
4 standards kind of kicked in? Like at some point in
5 there, in California, we adopted Title 24 standards for
6 TVs.

7 MS. STRATTON: We were using Energy Star tiers.
8 And, you know, I can't remember exactly where we
9 started. But each year we would have a higher level of
10 Energy Star performance. So, I'm not sure, you know,
11 how it lined up with --

12 COMMISSIONER MC ALLISTER: Well, just thinking
13 in the S curve kind of dynamic, where you've got early,
14 you've got voluntary adoption, early adopters, and then
15 at some point you end up with a mandatory standard that
16 says, okay, everybody's going to be above this minimum.

17 And do you have sense that there was an
18 interplay there at all? Sounds like maybe not.

19 MS. STRATTON: Well, in a sense, the market
20 share of Energy Star versus, what was it, 5.3 is 95
21 percent at the end of 2014.

22 You know, I think, some of the utilities have
23 asked us, well, would this have happened anyway? We
24 would have lost kind of that acceleration of -- because
25 we moved the incentives during the period. So, this

1 really represents the broad, kind of broad TV market.

2 COMMISSIONER MC ALLISTER: Okay.

3 MS. STRATTON: And most of this was big box
4 stores, which represented about 85 percent of TV sales
5 in the Northwest. And it could have been a different
6 number in California, but that's where it was in the
7 Northwest.

8 COMMISSIONER MC ALLISTER: Great, thanks.

9 MS. STRATTON: Okay, let's go on to the next
10 slide. I want to just give you a quick view of our
11 entire portfolio. And not to focus on everything in
12 there, I want to make three statements.

13 The first column is what we call our scanning
14 portfolio. These are all the things that we're looking
15 at and determining whether there is a market
16 transformation play.

17 You know, we know that we've got to have about
18 three or four times as much in there as we could
19 possibly test and move through, because we're going to
20 look at it and say, not a role for NEEA, and too early,
21 too late, market moving too quickly. We're going to
22 find the right things that we can move forward.

23 So, we call this our pipeline. We need
24 something that's at or near commercialization,
25 understanding if there's a barrier that we can remove,

1 and can we do that cost effectively.

2 I'll also point out, in the middle you'll see
3 some C4 discontinuations. That's our cycle four. When
4 something gets to a certain point in the portfolio,
5 we're testing constantly, and if we don't see that long-
6 term cost effectiveness, we're going to toss that out of
7 the portfolio.

8 So, that's a summary of over the five years
9 before of things that we had already started moving
10 through and then we cut, we tossed it out. We weren't
11 going to be committed to those for the long term, for
12 different reasons for each one of them.

13 I also want to mention, in the market
14 development column you'll see building operator
15 certification expansion. As I was reading Ralph and
16 Ken's paper, they pointed out building operator
17 certification as a NEEA success in 2002.

18 What we found, you know, as we continued to
19 monitor that program, was that there was a new barrier
20 that we'd become aware of, and that was the time to
21 travel to training.

22 We have trade allies in Montana, Idaho, you
23 know, they may have to drive 12 hours to the nearest BOC
24 training. So, there was the need for some online
25 portions of this training. And so, we went back into

1 that same market and invested in some online development
2 for that.

3 So, as an example of an initiative we worked on
4 ten years ago, we saw a new barrier, we brought it back
5 and we adjusted that barrier, and we're just finishing
6 up with that this year.

7 So, that's just a quick peek at what our
8 portfolio looks like.

9 The final column, you'll see TVs on the top,
10 these are things that we've gotten out of active
11 involvement, but we continue to measure the market
12 movement along that S curve, so that we can measure
13 those savings associated with being involved in those
14 market.

15 And I just want to end with a picture, on the
16 next slide, of the power of our regional partnership and
17 the power of our alliance. This is a cumulative view of
18 our total regional savings. And I think it does a good
19 job of showing kind of the length of time, if you look
20 at cycles one and two, which was 1997 to 2004, we're
21 still measuring, you know, small, incremental savings
22 from those markets in 2014.

23 And the cycle that we just finished, cycle four,
24 those savings are just starting to rev up in the market
25 and you'll see those grow in the coming five years.

1 But together, on the initiatives that we worked
2 on at NEEA, along with our partners, utility partners,
3 we've saved 1,100 average megawatts. Obviously, two
4 large power plants. We believe we've been successful in
5 working together.

6 We're really proud to show this chart, to show
7 what we've done together. But also recognizing in the
8 very beginning years, a little bit lean in terms of
9 savings.

10 So, starting up a real complete market
11 transformation operation requires some understanding of
12 that investment and building of a pipeline so that over
13 the years, over the future you'll have those new
14 technologies to kind of feed the savings that will come
15 later.

16 Lastly, when people ask, you know, why an
17 alliance? I think I mentioned this a couple of times
18 throughout. But I want to make sure that you know that
19 our funders believe that the Alliance provides three
20 important things, market leverage because of our size,
21 economies of scale, and risk pooling. And we're
22 successful because the NEEA savings in the utility
23 portfolios are cost effective, we take a long-term view,
24 and the funders participate actively in our governance
25 and feel ownership of NEEA. And so, it makes us a large

1 alliance, rather than a small, nonprofit in Portland,
2 Oregon.

3 And that's all I have, and I look forward to
4 questions and discussion. Thank you.

5 COMMISSIONER MC ALLISTER: Thank you very much
6 for being here, appreciate it.

7 Linda Derivi. Get the green light to go on and
8 you're set. There you go.

9 MS. DERIVI: There we go.

10 COMMISSIONER MC ALLISTER: There we go.

11 MS. DERIVI: Good afternoon, Commissioners.

12 Thanks very much for the invitation for being here
13 today. I look forward to telling you about the
14 transformation of my profession.

15 The American Institute of Architects California
16 Council represents 23 chapters of architects throughout
17 California. We represent 11,000 members, students,
18 emerging professionals and licensed professionals.

19 I've been a licensed professional since 1976.
20 Took my architect's education at UC Berkeley. I am also
21 a licensed building contractor and certified interior
22 designer.

23 My husband and I owned a firm, in Stockton,
24 California, up until several weeks ago, when we sold it,
25 preparing for our retirement.

1 At this time, I serve as the Director for Design
2 and Practice at the AIACC.

3 I reflected on market transformation a couple of
4 years ago. My focus at the AIACC was to be an interface
5 with our member architects. We have a great staff
6 there, but no one else was an architect. And I've lived
7 that life. I've lived the life of a professional who
8 depends on artistic and technological pressures, and
9 inspirations to do my work for my clients. They've
10 ranged from Kaiser Permanente, to about seven different
11 school district, and University of the Pacific, in
12 Stockton.

13 Market transformation for the architectural
14 profession, I believe, is being pressured by four
15 different elements. Some of them are inevitable, some
16 of them are things that have come along through the
17 economies changed.

18 The first pressure has been the economy. In
19 2008, the downturn in the total national economy really
20 hit the architectural profession. And I would say that
21 probably, at one time, there was at least 33 percent of
22 architects across the country that were unemployed.

23 And as recently as a couple of months ago, I was
24 in the position of interviewing architects to hire at
25 our firm in Stockton. And I believe I interviewed five

1 experienced practitioners, who had been without work for
2 several years. And these are people who would fit into
3 many different firms, but their positions were no longer
4 available to them.

5 So, the economy has taken its toll on our
6 profession. There's a lot of talent out there that
7 could be tapped to help with energy efficiency of
8 buildings. After all most of us attended schools of
9 architecture that were within colleges of environmental
10 design.

11 And I say that often to people because they
12 don't quite understand the interface of architects with
13 the natural environment. But we consider ourselves
14 stewards of the natural environment and, therefore,
15 strive for efficiency of energy, water, and resources.

16 The second element that is affecting us, and
17 it's affecting a lot of professions right now, is the
18 Baby Boomers moving on. I'm myself, one of those. And
19 it's a generational transition, which is interesting.
20 And I've looked back on my own life, to ask myself the
21 same question, was this going on when I became an
22 architect, when I first came out of school and entered
23 my profession?

24 Generational transition brings a lot of
25 opportunities. Our students are learning much more

1 about technology, CAD, BIM. If you've never heard of
2 those, those are becoming everyday words in
3 architectural profession. They are bringing us a lot of
4 utility to design, but they are continuing to be a
5 challenge to a lot of older practitioners.

6 Now, maybe those older practitioners are moving
7 on, but they're still in a position of hiring students
8 out of the universities and, often, they're perplexed by
9 what talents those young students, graduates are
10 bringing to their firms.

11 The third challenge is technology, itself. And
12 we started out, I think in my career, I learned how to
13 hand draft. And then along came computer assisted
14 drafting and design. And now, within the five to eight
15 years, we are now experiencing the use of BIM, Building
16 Information Modeling.

17 This has its own challenge as far as expense, as
18 far as education, as far as being a real hurdle for a
19 lot of very small firms. And most firms in California
20 are smaller firms. There's a big difference between the
21 big firms that operate in Los Angeles, and San
22 Francisco, and the many practitioners out here in the
23 valley. We have much different portfolios of work that
24 we do.

25 But as Talbot described what he does as the

1 rubber hitting the road, architects are in the same
2 position.

3 The fourth challenge is climate change. And
4 this has been something that was predicted from the time
5 that I was in college. That manmade pollution and
6 extensive use of greenhouse gases was going to bring us
7 to a point that would threaten the overall environment
8 of the world. And so, here we find ourselves with this.

9 The AIACC, within the past two years, has
10 adopted a policy advocating for energy, water and
11 resource efficient design.

12 The issue with this, in thinking about all four
13 of these elements, they may all be challenges, some may
14 think them insurmountable. But challenges are also
15 opportunities.

16 And so, we've been looking at the interfaces
17 between these different challenges to figure out how can
18 each challenge somehow support or improve the outlook
19 for the other challenges.

20 And climate change, to me, is an opportunity to
21 understand the next series of education, experience that
22 architects need to have in order to adapt their
23 practices, their buildings, the way they run their
24 firms. To understand how to, then, approach a 2020 zero
25 net energy for a residential, and 2030 zero net energy

1 for nonresidential.

2 And so, we've been very active in trying to get
3 the word out to our practitioners about what they need
4 to know about every code cycle change.

5 And I believe the 2016 has been adopted. I was
6 here that day, Commissioner McAllister, and was pleased
7 to know that I believe the Commission had taken serious
8 the, I think, over 100 comments about the draft
9 language.

10 And we found that they had listened to some
11 suggestions that we'd had, and we're very pleased with
12 that.

13 Again, architects are the stewards of the
14 natural environment. We need to understand and, again,
15 going back to education taken place in the school or
16 college of environmental design.

17 A building is not just simply an object. It
18 shelters its inhabitants. It has a footprint upon the
19 land that is using from the day that it was conceived
20 of, it is taking resources out of the natural
21 environment.

22 In architecture school, our classes certainly
23 covered the siting of buildings, the exterior envelope,
24 the micro-climates that that building would have to live
25 within. We talked about the communities. And, of

1 course, we have a tremendous history that impacts the
2 way that we think, the way that we design.

3 So, I see, I personally see climate change as an
4 inspiration to give me more ideas about how to properly
5 design a building. And that's what we're encouraging
6 our members to do.

7 The other three elements all work together.
8 They can work together. They're not only challenges,
9 they're opportunities.

10 How can firms, that have been well-established,
11 welcome the young students and graduates into their
12 firms? How can they understand what they've learned in
13 school that a person, who's been in practice for 40
14 years, has not really had a chance to go back and
15 understand? And how can those graduates understand from
16 the older people in their firms about what it takes to
17 put together a building?

18 You do not learn how to put together a building
19 in a five, or six years, or more of college. It is
20 something that is learned on a day-to-day basis, working
21 in a firm.

22 We also understand that technology is something
23 that can help us in our profession. Some people have
24 the notion that CAD and BIM are going to take over the
25 architectural profession. That is not true. The human

1 mind can be inspired and is creative, and that's the
2 hand that uses that particular skill, and that is the
3 human mind.

4 Anyway, most of us do work with existing
5 buildings, remodeling, additions, major part of many
6 architectural firms. We want to be part of helping
7 existing buildings become more energy efficient.

8 We've worked closely with the IOUs in California
9 for the past two years in developing training programs.
10 And we want to continue that relationship. And they've
11 reached out to us and asked us what we needed.

12 And I won't be satisfied, and I told this to
13 Jeanne Clinton, I won't be satisfied until every
14 architect in this State has taken some of this training
15 to understand the building science behind an effective
16 building envelope.

17 And secondly, integrated design, integrated
18 project delivery, where you bring mechanical and
19 electrical engineers to the table. And if you can, get
20 the contractor there from the very beginning. That's
21 the only way we're really going to get to zero net
22 energy. Thank you.

23 COMMISSIONER MC ALLISTER: Thank you,
24 interesting. Appreciate your being here.

25 So, do we have Ralph on the phone?

1 MR. PRAHL: Yes, I'm on the line. Sound check,
2 can everyone hear me?

3 COMMISSIONER MC ALLISTER: WE can hear you,
4 great. Maybe turn up the volume just a little bit, if
5 you can, Heather.

6 MS. RAITT: Yeah.

7 MR. PRAHL: Okay. Thanks very much for the
8 opportunity to present today. I am acutely aware that I
9 am both the last speaker of the day, and the only
10 speaker all day who's doing so remotely. So, I'm
11 planning to try to be brief. At the same time, being
12 brief is not necessarily in my nature, so you may see an
13 epic battle between good and evil.

14 (Laughter)

15 MR. PRAHL: The next slide, please. I don't
16 have an organizational affiliation that people, who
17 don't know me, won't necessarily recognize. So, I
18 thought I should start by briefly talking about my
19 background.

20 I am an independent consultant, specializing in
21 advising state agencies on oversight of evaluation
22 activities. I've been at this for some 30 years,
23 including many years advising the CPUC Energy Division.

24 About 20 years ago, I began a sideline of
25 analyzing and writing about public policy issues

1 regarding market transformation. So, wearing those two
2 hats, in 2014, with my co-author, Ken Keating, I wrote a
3 white paper for the Energy Division called *Building a*
4 *Policy Framework to Support Energy Efficiency Market*
5 *Transformation in California*. The same title as my talk
6 today.

7 ED asked us to write this paper because Ken had
8 written an earlier paper on the design of market
9 transformation initiatives. And we got lots of comments
10 from the IOUs and from the public that what he wrote was
11 all fine, but there were policy barriers that needed to
12 be addressed, first. We agreed, so we were interested
13 in writing this paper.

14 The focus of my talk today is on two specific
15 questions. What policy changes would be needed to more
16 fully support market transformation initiatives in
17 California? And what organizational models could work
18 in California?

19 In short, if we want to do more market
20 transformation initiatives, what needs to change?

21 My comments will be taken largely from the white
22 paper, although there has been some minor evolution in
23 my views since then.

24 The next slide. Onto policy changes needed to
25 support market transformation, to slide four, please.

1 So, as Talbot said, sometimes terms are not clearly
2 defined. And people talk about market transformation,
3 so I wanted to start out by defining terms as clearly as
4 I can.

5 And there are two key terms I think you need to
6 pin down before you start talking about policy issues
7 and market transformation. And those two terms are
8 resource acquisition and market transformation.

9 My definitions of those terms are as follows.
10 Resource acquisition is the attempt to produce near-term
11 savings as reliably as you can.

12 Resource acquisition is the mainstay of the
13 energy efficiency industry, where most of the money is
14 spent, both in California and elsewhere.

15 Research acquisition involves trying to buy kWh
16 savings one kWh at a time. It tends to involve
17 primarily, although not solely around financial
18 incentives. And the focus tends to be on the relatively
19 short term, largely on annual savings.

20 Targeted market transformation initiatives, MT
21 for short, on the other hand are an attempt to produce
22 long-term changes in the adoption of energy efficiency
23 by generating structural changes in the market.

24 Market transformation initiatives tend to
25 involve a wider range of marketing approaches.

1 Incentives can be a part, but they can also include
2 negotiation, education, persuasion, coalition building,
3 transitions to codes and standards.

4 Market transition takes a long time, typically
5 five to ten years. And it's a lot riskier than resource
6 acquisition.

7 As Susan described, NEEA is probably the
8 prominent practice of market transformation initiatives
9 in the U.S., but even they have had plenty of failures.

10 But when it succeeds, it can produce long-term
11 gains.

12 The next slide. So, we made three key points in
13 our paper about what should change in California's
14 policy work -- policy framework, if there's a desire to
15 do more market transformation initiatives.

16 The first, and perhaps the most critical, is
17 that we believe it's really important to view market
18 transformation as a policy tool, rather than an
19 objective in and of itself. There's plenty of evidence
20 that market transformation is an important part of the
21 tool chest. There are plenty of success stories, many
22 of them from NEEA.

23 However, being part of a tool chest is not
24 synonymous with being an overall policy objective.

25 There are two problems with treating it as a

1 policy objective. First, not all markets really need to
2 or necessarily can be transformed. Some markets are
3 already producing a petty optimal level of investment in
4 energy efficiency.

5 Other markets have barriers that can never
6 really be fixed, so we'll need to keep buying savings a
7 kWh at a time, indefinitely.

8 An example would be markets that are subject to
9 split incentives, such as renters paying t energy bill.

10 The other problem with treating market
11 transformation as an overall policy objective is that it
12 tends to pressure program administrators to fit all of
13 their programs into a single framework.

14 If you tell the program administrator that
15 everything it does has to be at least partly market
16 transformation, what you get is resource acquisition
17 programs dressed up as market transformation.

18 So, why are we associating so much importance
19 with this issue It's because we believe that there is a
20 fair amount of history in California, of treating market
21 transformation as an overall objective.

22 I was consulting to the Energy Division back in
23 1997 to '99, when market transformation was explicitly
24 and officially the sole objective of energy efficiency
25 programs in California.

1 A more recent example, I would say, is the
2 current Energy Efficiency Strategic Plan is fairly
3 imbued with the idea of market transformation being an
4 objective.

5 The next slide, please. The next policy point
6 we made in this paper is that there is a lot of
7 potential for tensions between market transformation and
8 resource acquisition, if you don't coordinate them
9 carefully.

10 They're both important parts of the tool chest,
11 but that doesn't necessarily mean you can just toss them
12 out there, willy nilly, and expect to get good effects.

13 One reason you need to coordinate is that if you
14 don't, resource acquisition is dominant. And Susan
15 said, it's 90 percent of the money that gets spent in
16 the Northwest. And resource acquisition can undercut
17 market transformation, if you don't take clear steps to
18 prevent that.

19 One example is what happened with CFLs in the
20 early 2000s. There were massive resource acquisition
21 programs flooding the market with CFLs. Sometimes there
22 wasn't enough attention to quality. There were some
23 early failures and some people got soured on CFLs. The
24 effort to achieve resource acquisition ended up,
25 perhaps, undercutting market transformation.

1 Another issue is that under a resource
2 acquisition framework, or what is predominantly a
3 resource acquisition framework, the relentless focus on
4 reliability of savings can tend to limit market
5 transformation strategies.

6 The recent example of this in California
7 occurred with EUC, energy upgrade. People had been
8 hoping, a few years ago, for market effects from EUC.
9 But research found that the rather strong requirements
10 for documentation of savings were turning contractors
11 off. In order to get market effects and market
12 transformation, you need to get contractor
13 participation. So, the desire for reliable savings was
14 working at cross-purposes with the desire for market
15 effects.

16 The other side of this coin is simply to respect
17 the differences between what each of these types of
18 programs can accomplish. If market transformation is
19 slow, but can really hit the ball out of the park from
20 time to time, don't expect it to generate quick or
21 reliable savings.

22 Don't expect resource acquisition to transform
23 markets. It happens sometimes, but it's more the
24 exception than the rule.

25 And don't try to deploy both of these approaches

1 in the same market, at the same time, without close
2 coordination. There are plenty of ways to coordinate,
3 if you pay attention to doing that.

4 The next slide. The third key issue, policy
5 issue we addressed in this paper was whether basic
6 changes are needed in California's approach to cross-
7 benefit analysis.

8 And our conclusion is that there were no
9 fundamental changes needed, but the few changes that
10 were needed were pretty important. The most important
11 one is the time frame of the analysis.

12 At least in the world of ratepayer-funded
13 programs, California's core benefit cost methods
14 generally have a short time horizon, typically either
15 annual or over a program cycle.

16 This is a big problem for market transformation
17 initiatives because they tend to feature costs that are
18 front loaded and benefits that take a while to
19 materialize.

20 So, if you subject them to the same time frame
21 that you're using for research and acquisition programs,
22 they'll never screen. You won't get market
23 transformation and you'll just do the screening process.

24 I'll skip over the sensitivity analysis issue,
25 in the interest of time, and on to slide eight.

1 So, the other basic issue I wanted to address is
2 what organizational model could work in California?

3 To slide nine, please. And I think in answering
4 that question, a threshold issue that needs to be
5 resolved is figuring out what role IOU should play in
6 administering market transformation initiatives.

7 IOUs are only a part of the program
8 administrator network in California. You also have
9 RENS, POUs and various other parties.

10 But the IOUs are a very large part and they'll
11 argue there are some unique challenges for IOUs in
12 administering market transformation initiatives.

13 So, should IOUs play a major role? On the plus
14 side, the IOUs have a lot of experience, now 12 years,
15 at running large scale programs. They also have lots of
16 resources and the data needed to support market
17 transformation initiatives.

18 On the con side, though, there are several
19 issues. First, IOUs are largely customer-interfacing
20 enterprises. They exist to serve end-users. And one
21 might argue, as a result, that they are better adapted
22 to marketing to end-users, than trying to alter entire
23 markets.

24 IOUs are also publicly listed corporations. And
25 like all corporations, they're subject sometimes to

1 short-term pressures.

2 IOUs are also the primary locus of
3 responsibility for research acquisition in California.
4 And as I argued, there is a lot of potential for
5 tensions between resource acquisition and market
6 transformation.

7 So, if IOUs are going to do this, it would need
8 to be done carefully.

9 Perhaps, for all of these reasons, when you look
10 at the history of market transformation initiatives,
11 there aren't that many success stories about initiatives
12 that were administered solely by IOUs.

13 There are a fair number of success stories in
14 which IOUs were members of broad regional or national
15 coalitions.

16 The next slide, please. So, my conclusions
17 about who should administer market transformation
18 initiatives. I would argue that you can either create a
19 dedicated statewide entity to do it or you can delegate
20 the job to existing program administrators, including
21 the full range, IOUs, RENs, POUs.

22 However, if you use the latter approach, I would
23 argue that policy measures are going to be needed to
24 overcome some of these institutional barriers that I
25 think IOUs face.

1 One issue is the need for a market -- for
2 performance incentives that are specifically targeted at
3 market transformation, instead of research acquisition.

4 If you rely on the overall incentive mechanisms
5 that are in place, in California, the overwhelming
6 incentive for IOUs is going to be focus exclusively on
7 resource acquisition. It's fast, it's predictable, and
8 management knows it will pay off before they retire, but
9 you won't get real market transformation initiatives.

10 And second, I would argue that if IOUs are going
11 to do this, it will be necessary for them to collaborate
12 more extensively and systematically than they have in
13 the past.

14 IOUs, I think, are used to acting on their own
15 initiative, subject to the regulatory constraints they
16 face. This inherent, I would argue, in their structure
17 and role. They are accountable to their shareholders,
18 so it's not surprising that they would act on their own
19 initiative.

20 But unilateral action doesn't really work with
21 market transformation initiatives. I think the long-
22 term body of evidence shows that.

23 So, that concludes my talk. And on my last
24 slide here, the next slide, please, I've just given
25 information for anyone who's interested in accessing

1 this policy white paper directly.

2 Thank you and that concludes my talk.

3 COMMISSIONER MC ALLISTER: Thanks very much.

4 Let's see, I have a couple of questions. I'll
5 start with the Chair.

6 CHAIR WEISENMILLER: Yeah, let me start with a
7 basic question. Which, my recollection was 1890 passed
8 California about the same time the Northwest
9 organization was set up, and was very interesting, that
10 third-party administrator, and a number of people worked
11 on that for a number of years. Ultimately, they got
12 sued in terms of civil service issues. And I think that
13 collapsed things at that point.

14 So, one of the things I want to understand is
15 what's the -- what's in place so we're not sued again,
16 and after several years of activity? I don't know if
17 Jeanne, or if the gentleman on the phone want to discuss
18 that.

19 MR. PRAHL: I was directly involved in that.
20 Maybe I could address it.

21 I can report that the lawsuit was filed by state
22 employee unions, and it was filed because they believed
23 that consultants to the California Board for Energy
24 efficiency, which included me, were doing work that
25 should be done by state agencies

1 Now, I think if you either have IOUs and other
2 existing administrators do this, or create an entirely
3 new dedicated organization, it's hard to see where you
4 would have that issue. I think it was just a function
5 of the institutional environment at the time.

6 CHAIR WEISENMILLER: Okay. The next question
7 is, is it anticipated that CCAs, or direct access
8 entities would participate or help fund this entity?

9 MR. PRAHL: Is that directed to me?

10 CHAIR WEISENMILLER: Yeah, I guess so.

11 MR. PRAHL: I don't think I have a -- don't
12 think I have a view on that. I haven't gotten past the
13 threshold issue of who should do it. And not really
14 advocating a statewide entity. I'm saying that I
15 believe you can either do that or tweak the policy
16 framework and do it using the existing program
17 administrators.

18 CHAIR WEISENMILLER: Okay. I was going to just
19 ask a question of a couple representatives of the POUs
20 in the audience. I guess Jonathan's the most likely
21 one.

22 You want to discuss the POUs' reaction to such
23 an entity, or much you do in terms of market
24 transformation, now, or how much you'd be willing to
25 participate in a statewide entity?

1 MR. CHANGUS: I think, perhaps, a good way to
2 respond, from NCPA's membership at least, is when we've
3 a good, long, hard look at do we want to participate and
4 fund some of the work that goes on with codes and
5 standards development, and funding a work paper of some
6 sort.

7 Our ability for resources enable to fund such an
8 activity would be somewhat limited and detract from some
9 of our other efforts that are specifically tied to the
10 programs directed at our customers.

11 And so, it's a tension of those scarce
12 resources. Are we more interested in pursuing dollars
13 that we know are going to benefit the ratepayers, the
14 customers within our service territories versus dollars
15 that go to a statewide entity.

16 That, as we've seen, our membership have very
17 unique challenges tied to the city limits with which
18 they represent in most cases. And so, it's trying to
19 figure out what the appropriate role is.

20 I would also note, we are participating with the
21 IOUS, and with the largest stakeholder group on the
22 development of the California Technical Forum, which is
23 trying to develop resource kind of in common.

24 So, I think there's ways for public power to
25 participate. I don't know if it's going to look and

1 feel the same way as the IOUs, and it might not come
2 with a hefty check. But I think that there's ability
3 and interest in being at the table, and contributing
4 whatever resources we can as far as knowledge,
5 experience, and understanding of what our customers
6 need.

7 COMMISSIONER MC ALLISTER: Yeah, let's see, I
8 guess, Dr. Carla, do you have a --

9 CPUC COMMISSIONER PETERMAN: No comment.

10 COMMISSIONER MC ALLISTER: So, I guess, so I'm
11 intrigued and sort of thinking about, you know, Susan,
12 as you were talking, okay, what are the similarities and
13 differences between NEEA's context and what might happen
14 here in California.

15 You know, I'm really struck by the fact that
16 it's a voluntary initiative that the utilities,
17 including BPA, but many others, IOU, POU, and the Energy
18 Trust, neither of the above are sort of all in agreement
19 that they're going to fund this thing.

20 And I guess I can't help but see that in
21 California that seems highly improbable, given our kind
22 of -- give the past dynamics that, at least, I've
23 experienced and seen, observed in terms of non-utility
24 entities taking on more, shouldering more roles, and
25 getting in front of the customer and working, sort of

1 working on some of these issues.

2 So, you know, perhaps I really need someone sort
3 of who's in the California context to make observations
4 or answer this question.

5 What is to keep -- well, what, in the NEEA
6 experience, how have you had access to data that allows
7 you to target opportunities, understanding of dynamics
8 in each utility service territory with some level of
9 nuance? You know, what has kept you -- you know, why is
10 this consensus that what you're doing is a good thing,
11 and why isn't there, apparently, some sense of
12 competition with the utilities, themselves, on messaging
13 to the customer?

14 MS. STRATTON: You know, interestingly, you
15 know, before we go too far with an initiative, if
16 there's a marketing message or information, you know, we
17 may -- we'll work with our partners and decide, you
18 know, should NEEA create the messages and the utilities
19 actually put it in a marketing campaign, or should NEEA
20 create a broad, regional campaign. So, we struggle with
21 that exact issue quite a bit because the utilities want
22 to have their messages to have their name on it.
23 Because the customers trust that utility name. NEEA
24 might be less known to the direct customer.

25 So, we're very mindful of that. Although, there

1 are times when we may create a ductless heat pump
2 campaign that everybody participates in.

3 And coming back to the data, we don't have --
4 NEEA, as an entity, does not have access to utility
5 customer data. I wish that we did, but we don't. We
6 have to buy data if we're looking for, say, customers to
7 participate in a demonstration project.

8 We regularly collect or perform research in the
9 region around, say, residential building stock
10 assessment, or commercial building stock assessment,
11 code compliance, those kinds of things so that we give
12 back data to the region on a regular basis, and maintain
13 a database and data analytic services for the utilities,
14 even allowing them to over-sample in the research work
15 that we do.

16 So, it's a situation where it's a benefit to the
17 utilities not having to do, say, a residential building
18 stock assessment all by themselves. Rather, they buy a
19 small share of what NEEA's doing and, cost effectively,
20 we can get that data to everybody.

21 So, there's tensions around who does what, what
22 are the roles and responsibilities. In the beginning,
23 the utility, energy efficiency or DSM staff were either
24 very small or nonexistent. And NEEA was the only show
25 in town for some of the utilities.

1 Over time, since the late '90s, many of the
2 utilities have very robust staff. Some even do some
3 emerging technology work, do some research. So, we're
4 always mindful of where they are in the market, and
5 where we are. And when we both seem to be in the same
6 place, try to find a way to share that role or make a
7 better delineation of what the role of NEEA is and what
8 the role of the utility is.

9 Because you can imagine that across the region,
10 each utility is in a different place. Some utilities
11 would like NEEA to do everything and others would say,
12 don't do anything, except this one thing that we're not
13 doing.

14 So, we're always finding, like I keep talking
15 about, the sweet spot. I'm a tennis player. So, you
16 know, that to me is that spot on the racquet where you
17 get the best shot.

18 Well, for NEEA, you know, finding that sweet
19 spot gets more and more complex as the utilities broaden
20 in the market from direct to customer and being more
21 upstream. We've typically operated mid-stream and
22 upstream with manufacturers, for example. Utilities are
23 getting more involved in the mid-stream market.

24 So, that challenge and push, I wouldn't call it
25 competition, but we don't like to find ourselves in the

1 same place, doing the same thing, with the same
2 ratepayer dollar. So, we're always mindful of that and
3 needing to be nimble, and adjusting where we are in the
4 market.

5 CPUC COMMISSIONER PETERMAN: Can I clarify just
6 something on that, but just in terms of is there -- with
7 each initiative, is there one single or sweet spot? You
8 noted that the utilities had varying views about how
9 much they should participate. So, is it the lowest
10 common denominator?

11 I guess I'm trying to think a little bit about
12 how we're thinking about the potential involvement of
13 POUs, and IOUs, and so just trying to get a sense of how
14 statewide your work really --

15 MS. STRATTON: Right, and that's a good, a
16 really important question. Do we -- are we reduced to
17 the least common denominator? And I would say, we
18 sometimes find a sweet spot where it's not as valuable
19 for us to do something in a market. But for the good of
20 the region, a utility will say, yeah, I'm okay with
21 that.

22 So, we kind of have these discussions where, as
23 long as it's not hurting kind of customer relationship,
24 or being wasteful of regional dollars, we've come to
25 find this place where each of the utilities that sit on

1 our board have veto power on moving for -- any one of
2 them can raise their hand and say this is not good in my
3 territory. And they've got to come back and say what
4 would make it work. And so, they have a responsibility
5 to do that.

6 So, that's how we find the sweet spot. Any
7 utility can stand up and say stop, we need to adjust
8 something. And the others, who are okay with it, maybe
9 it's not the highest, you know, use of the division of
10 resources, but we find that sweet spot by a lot of
11 collaboration, working together and finding the right
12 place for the good of the region.

13 CPUC COMMISSIONER PETERMAN: Thank you.

14 MR. DOUGHTY: Susan, is the voice of a 0.4
15 percent member the same as a 36 percent member in that?

16 MS. STRATTON: Let me just say yes. Not
17 everybody's happy about that, but that's how we work.

18 So, if we have an initiative and we're voting on
19 moving forward, BPA has the same number of votes as
20 Tacoma Power.

21 COMMISSIONER MC ALLISTER: So, it really is a
22 UN, there you go.

23 MS. STRATTON: It is.

24 COMMISSIONER MC ALLISTER: A general assembly,
25 exactly. Yeah, there you go.

1 So, I guess, I'd -- I can't remember what
2 percentage the Energy Trust puts in, but they're not a
3 utility and they do have some of the sort of facilities
4 that -- in terms of resources, but also in terms of
5 access to data, as I understand it, anyway.

6 MS. STRATTON: They do.

7 COMMISSIONER MC ALLISTER: And I guess, so, they
8 also are sort of a market transformation entity, but
9 they're just more working -- not the way you defined it,
10 but I think they're -- you know, they do administer
11 programs and they do kind of upstream and mid-stream
12 stuff, too.

13 So, I guess I'm kind of wondering, you know,
14 differential impacts across your whole territory, you
15 know, the different models that are even there within
16 your territory and among your members, and that dynamic,
17 sort of how much cross-pollination is there across
18 service territories or members?

19 MS. STRATTON: When we look at Energy Trust of
20 Oregon, they are, they were created to be the resource
21 acquisition arm of the investor-owned utilities, gas and
22 electric in Oregon. They also do renewables.

23 COMMISSIONER MC ALLISTER: Oh, okay, right.

24 MS. STRATTON: So, instead of us working
25 directly with PacifiCorp, or Portland General Electric,

1 ETO, you know, has that funding and they run the
2 programs.

3 So in that sense, you know, they're like the
4 utility in terms of their role. But because of their --
5 they've got very high level of goals and very, you know,
6 strong passion for energy efficiency, they're one of our
7 entities, funders that have gotten a little more
8 involved upstream and with wanting to be more involved
9 in market transformation.

10 So, we've found that they're an organization
11 we've got to coordinate with quite a bit more. An
12 example is that we were involved in strategic energy
13 management for industrial customers for a long time, and
14 produced a number of tools and strategies in the market.
15 And Energy Trust said, boy, those tools have been great.
16 We're using them, we've got vibrant programs.

17 We don't think, NEEA, you should invest a lot
18 more money in that sector. Other utilities are saying,
19 oh, no, we don't have enough, yet, we haven't started
20 our programs.

21 So, we had to find a middle ground, where we
22 provided some tools and services, but not a broader
23 portfolio of strategic energy management on the
24 industrial side.

25 So, that was an area where Energy Trust was

1 ahead, smaller utilities were behind, so we found a
2 place that could provide services, you know, that were
3 needed, without over-investing from the viewpoint of,
4 say, both BPA and Energy Trust.

5 COMMISSIONER MC ALLISTER: Interesting. So, I
6 just have one more question. How bit of an issue are
7 the, let's say, is the diversity of your territory? I
8 mean, you've got rural, urban, you've got big, small,
9 you've got public private, and we have all of that in
10 California, as well.

11 And I guess, in terms of some of the concerns
12 that have been brought up, gosh, you know, this
13 municipality versus all of Northern California, kind of
14 the diversity of needs and customer base. How do you
15 deal with some of those issues?

16 MS. STRATTON: And those are tough issues. I
17 know that some of our utilities, who are east of the
18 Cascades, you know, think that the view from Portland is
19 just up and down the I-5 corridor.

20 So, we're always mindful to make sure that we're
21 east and west, north and south, small and large, IOU,
22 public, et cetera.

23 But when all is said and done, when we were
24 negotiating this last funding cycle, there was a real
25 desire to pick a small number of programs, to make them

1 optional.

2 Up until this time, it was a pay one price, you
3 get everything. And the theory was there's enough in
4 the portfolio for everybody, but not everything in the
5 portfolio was for everybody.

6 We had a number of irrigation initiatives in the
7 past. Those are not for everybody.

8 So, we found that having things in the portfolio
9 to balance off something else was always needed.

10 But we came to a place where a couple of the
11 utilities said, you know, could we try, for the first
12 time, segmenting off a small number of programs as
13 optional?

14 And we said, okay, let's do that. And if we
15 don't get enough uptake, that means we're just not going
16 to do those programs at all. And to be sure, the three
17 programs we offered as optional, there was enough uptake
18 to move them forward, just in a reduced scale.

19 So, we found some compromises that needed to
20 happen. We found that we needed to do a lot more
21 coordination, especially on market facing activities.
22 The utilities want to be hand-in-hand with us, or even
23 in front of us, and we're behind the scenes. So, we're
24 always mindful of that and making sure that that
25 customer/utility relationship is important in how we do

1 our work. But then, there's the what work we do that's
2 the other part of the equation. So, never an easy
3 answer.

4 COMMISSIONER MC ALLISTER: Thanks very much.
5 Interesting to spin our wheels a little bit and think
6 about how that might -- that model might work here, in
7 California.

8 Any questions from the dais for Talbot or Linda?
9 Appreciate your both being here. And, certainly, the
10 architectural profession is very -- it's critical for
11 this kind of getting into the existing buildings in a
12 meaningful way, and offering designs that the actual
13 people, who live in those buildings, can benefit from.
14 I think we can do all of the above, we've just got to
15 get better at it.

16 MS. STRATTON: I will also say, I've brought
17 along a number of small portfolios about NEEA, and
18 they're out on the table, if you want just a little bit
19 more detail about some of our work. But they're out on
20 the front table.

21 COMMISSIONER MC ALLISTER: Thanks very much.

22 CPUC COMMISSIONER PETERMAN: Well, I mean, I'll
23 note, and Talbot, you may have some other comments, as
24 well, but we spent a lot of time talking about a
25 potential market transformation entity, largely because

1 there's some legislative proposals in front of us, we're
2 all trying to get our head around.

3 But I was wondering if you and, you know, your
4 members have had experience working with NEEA, or
5 Efficiency Vermont, and if you had any feedback for us
6 as we consider looking at structures like these?

7 MR. GEE: Yeah, I don't know if we have a
8 comment on the structure that the State might approach.
9 But I will say, Ralph's comments on, and Susan's, on
10 leverage and scale are really important here. But from
11 a trade ally perspective, pilots are a nightmare.
12 Pilots are really hard because it's so small, but it's
13 so much effort.

14 And from a business perspective, you're pulling
15 away attention, effort and capital for this one pilot in
16 the hopes that five years from now, it will be big
17 enough to justify going broader.

18 Whereas, if you can go regionally, or statewide,
19 or whatever, with a single strategy for a very specific
20 outcome, it's a lot easier to get buy in, if that makes
21 sense.

22 And the other aspect, and we've seen well-
23 intentioned efforts in California, kind of go awry just
24 because every utility then, eventually, gets their own
25 administrator, their own back end. And the paperwork

1 never gets aligned. And it's really -- no one builds
2 their service territory around utility service lines, it
3 doesn't work that way. So, that's another barrier
4 there.

5 So, whatever the outcome is, it would be great
6 if we decided that this is a market transformation
7 effort, that it is a statewide or leveraged effort to do
8 it.

9 As far as, you know, Efficiency Vermont, or
10 NEEA, or other partnerships around the country, I mean
11 we've had -- members of ours have been very involved in
12 several of them.

13 The only thing I've ever seen, and I don't think
14 this pertains, necessarily, to NEEA, but in some areas
15 you get -- the loudest voices are the ones who get
16 heard, right. So, you'll have one or two market actors
17 who jump all the way in, with two feet, and they start
18 dominating a lot of the discussions.

19 And then, unfortunately, you get the
20 organization in a situation of picking winners and
21 losers in the marketplace. And that's an alienating
22 practice. If the minute you do that, you now start
23 creating, again, a conflict with your trade allies. So,
24 I don't know, you've obviously been successful in what
25 you've done. Maybe there's a council, or an alliance,

1 or whatever the case is with the trade allies to kind of
2 help prevent some of that stuff from happening. But we
3 have seen some programs go awry in other areas because
4 of that.

5 CPUC COMMISSIONER PETERMAN: Susan, do you have
6 a quick comment or response, I mean, with how that
7 working relationship is done with trade allies?

8 MS. STRATTON: You know, our trade ally
9 relationships are different for each initiative,
10 depending on what the barrier is we're trying to remove.

11 If it's in residential new construction, we may
12 look for construction firms that are willing to try some
13 new technologies on a small number of homes. So, we're
14 asking them to really change their practices so that we
15 can measure the results before we say let's go big. And
16 So, we're trying to manage risk in that.

17 And so we find, you know, willing participants.
18 And if they're successful, then they can raise their
19 hand and say I'm the best, you know, builder of this
20 type of home. So, we do look for partners that are
21 willing to take that risk before we go big and try to
22 spread that throughout the region.

23 In HVAC, and other areas, you know, we have
24 trade ally groups that are -- we have, that are
25 contractors, who actually manage kind of communication,

1 outreach, exchanging information with those trade
2 allies, how is this working in the field? You know, can
3 you give us information about your experience?

4 So, we're always trying to take that feedback.
5 You know, there may be some areas where it's never --
6 it's not perfect. But it's a thing that we do and we
7 work really hard on.

8 CPUC COMMISSIONER PETERMAN: And I have one more
9 follow-up question. Andrew, sorry.

10 Susan, do you have any specific programs that
11 you have targeted to low-income communities?

12 MS. STRATTON: We do not.

13 CPUC COMMISSIONER PETERMAN: Okay.

14 MS. STRATTON: The local utilities handle those
15 programs.

16 CPUC COMMISSIONER PETERMAN: Thank you.

17 COMMISSIONER MC ALLISTER: Okay, thanks. So, we
18 are a little bit behind schedule here, but we have a
19 number of blue cards.

20 I'm going to start with the ones that pertain to
21 Panel 3, so the by and large on the to-code and existing
22 buildings. And then go on to Panel 4 and general
23 comments.

24 So, let's see, Bob Raymer, it looks like he may
25 have left. I'm going to hold that.

1 AUDIENCE MEMBER: He was just going to be
2 positive.

3 COMMISSIONER MC ALLISTER: Yeah, exactly, I'm
4 sure he was just going to endorse everything we're
5 doing.

6 Let's see, okay, Peter Schwartz, from LBNL.

7 MR. SCHWARTZ: Good afternoon, Commissioners,
8 and all the diehards. I thought it was going to be like
9 in Congress, where we speak to an empty room, but glad
10 you're hanging around.

11 So many issues, so little time. Let me just
12 dive in and see if we can address a couple of them.

13 There's been a lot of talk relative to cost
14 effectiveness methodologies, new vehicles for financing,
15 capital improvements in these projects. And, you know,
16 I have to support Aaron's position relative to trying to
17 implement innovative technologies using the regulatory
18 framework becomes more than challenging.

19 In large part because the cost effectiveness for
20 the regulatory mechanism is not the cost effectiveness
21 for the market. And so, there's a disconnect when
22 trying to promote these technologies. And it's, in
23 essence, tying the hands behind the back of the
24 implementers, who are trying to promote this, because
25 there's a mismatch. And, invariably, there are many

1 times when you are promoting the wrong technology
2 solution to maximize the regulatory cost effectiveness,
3 and it runs count to how customers evaluate what's best
4 for their bottom line.

5 So, also, in terms of TURN's comments, there are
6 a lot of new mechanisms that are coming into the
7 marketplace from nontraditional players. And my role at
8 the lab is heading up the lighting and controls research
9 team, and I do a lot of work with Demand Response
10 Research Center.

11 And prior to that, I worked for a line and
12 control startup. And it was really tough selling the
13 technology. Simple payback was not how you had to
14 calculate it. You had to get at the true value of the
15 technology over the investment period, and that's a more
16 sophisticated sale, many times taking up to three years
17 to convince a customer.

18 With that, some of the key points are pilots are
19 good because you had to condition the marketplace. And
20 it does get into market transformation in that we're at
21 a point right now, with some of these technologies, in
22 particular advanced lighting controls, that mirrors
23 where we were in the early '90s, with advanced HVACs.
24 Moving from pneumatic systems to direct digital control,
25 using Bath Net, we had to go out and do extensive

1 training of the industry to create the professional
2 workforce to actually be able to specify, design and
3 install the systems.

4 And I think that's a little bit of the backlash
5 in the Title 24 is we haven't done that conditioning of
6 the marketplace. The technology's fine, the cost
7 effectiveness of the projects are find, but we need to
8 develop that workforce.

9 And I'm seeing my time is up. You're waiting
10 this time. And I'll address the other comments via
11 written, so we can get some of the other folks up here.

12 COMMISSIONER MC ALLISTER: Thanks, Peter.

13 MR. SCHWARTZ: Thank you.

14 COMMISSIONER MC ALLISTER: Appreciate it.

15 Actually, the Chair just had a good point.
16 Heather, do we know when written comments are due? Have
17 we given that data, yet?

18 And I'm going to call Jenna Olson, from PG&E.

19 MS. RAITT: July 28th.

20 COMMISSIONER MC ALLISTER: Oh, okay, great.
21 Thanks. Well, we'll see how much time is left when we
22 get through everybody.

23 Karen Herter, hey.

24 MS. HERTER: I'll try to make this short. I
25 have just two comments, suggestions, since you guys keep

1 saying you want suggestions, I had a few that I thought
2 I'd --

3 COMMISSIONER MC ALLISTER: And you believed us,
4 I men?

5 MS. HERTER: Yeah. No.

6 (Laughter)

7 MS. HERTER: So, the first was, very simply, I
8 wanted to support the Panel 3, in their efforts to
9 start looking at hourly-metered data to create
10 baselines.

11 I've been working on teams for a decade, over a
12 decade that does just that. And we've been improving
13 the process as we go along.

14 The most recent project, we create baselines,
15 temperature-dependent baselines, so that we corrected
16 for temperature and other things, for over 17,000
17 customers. And so, it's definitely possible and there
18 are lots of folks out there that can do that, and can do
19 it very accurately. So, that's simple.

20 The second one was of the duck curve. So, the
21 ISO, I know mentioned demand response. And one of the
22 things that I think that gets lost, when we talk about
23 energy efficiency and demand response is the piece in
24 the middle that is sort of load flattening.

25 For the duck curve, you can do something with

1 demand response, but it's only once or twice a month.

2 For energy efficiency, it's maybe going to help
3 a little bit if you have better air conditioning
4 efficiency at the head.

5 But for load flattening, I would recommend you
6 consider better controls, and starting with air
7 conditioning thermostats. You don't need communications
8 for your thermostat to pre-cool in advance of a high
9 peak period. And with time-of-use pricing coming, soon,
10 I would encourage vendors to start thinking about
11 creating their thermostats to allow customers to easily
12 program their thermostats to avoid that peak price.

13 We've found in studies, so I've worked with SMUD
14 for the last eight years, helping them design their
15 smart grid studies, looking at thermostats, and pricing,
16 and real-time data, and all of that stuff.

17 One of the studies that we did, we looked a pre-
18 cooling. And we found that customers that had at least
19 an R-38 ceiling insulation, didn't waste energy by pre-
20 cooling, as early as six hours in advance for two
21 degrees.

22 And so, the energy didn't go up, but the load
23 was very much flattened. We had a higher load in the
24 mornings, of course, when we were pre-cooling, and then
25 a very much lower load during peak. So, that's one, but

1 that's air conditioning.

2 There's also, there's EVs are an obvious choice,
3 right. There's pool pumps, and spas, and water heaters,
4 I think, to some extent.

5 So, I would say controls and the usability of
6 controls, the usability of thermostats.

7 We also did a study where we looked at whether
8 thermostats were usable and by and large they're not.
9 Even the most advanced and best ones out there are not
10 great. I think that we could put more effort into
11 usability studies to pinpoint which ones are usable and
12 which ones aren't, to really push the industry into a
13 direction where customers can program their thermostats
14 and other controls. Thank you.

15 CHAIR WEISENMILLER: Okay, I would note for your
16 written comments, for people's written comments, the
17 Energy Commission has always had a provision that we can
18 do load management standards. We did those, once, for
19 the first time, and maybe it's time again.

20 COMMISSIONER MC ALLISTER: Yeah, you know, we
21 used to talk about load factor was the big thing. Load
22 management, load factor, back in the 80's and 90's,
23 those were the terms we used, right. And then, the
24 lower the load factor the better, right.

25 Or I'm sorry, the higher the load factor, the

1 better.

2 So, it seems like we've kind of gotten away from
3 that, but that's essentially what we're talking about
4 with rearranging the duck. So, optimizing investment is
5 really what it's all about. You've got to juggle all
6 these resources and coordinate them. So, I think you
7 bring up some great points.

8 Let's see, we have -- so now, that's all I have
9 for Panel 3, unless Bob Raymer's back in the room, which
10 I don't think so.

11 So, Joseph Oldham, from the Local Government
12 Commission. Oh, one more, great.

13 MR. OLDHAM: Good afternoon and it's a pleasure
14 to see you all again, after the SEIT forum. We had a
15 great time back on June the 18th.

16 I'm just here, briefly, to echo what was put out
17 at the forum. Integration, I think, is going to be the
18 key for us to achieve the goals that we have set forth
19 in California.

20 The Local Government Commission, of course, is
21 actively working with local governments up and down
22 California to not only implement energy efficiency
23 programs, but to look at smart growth, and all types of
24 resource efficiency efforts.

25 So, one of the challenges that we see with local

1 governments, obviously, is a lack of resources to
2 participate in the State programs, and the State
3 agencies.

4 We would strongly encourage the State to think
5 about coming up with a, for lack of a better term, a
6 combined pot of funding that local governments could
7 utilize to help achieve these very integrated goals that
8 now we have set forth for ourselves.

9 You know, the challenges of reducing our fuel
10 usage on existing vehicles, the challenges of improving
11 the efficiency of all of our existing buildings, the
12 challenges of deploying 50 percent renewables. All of
13 those are going to have an impact on local governments,
14 and they can play a strong role in helping the State to
15 achieve those goals.

16 So, we would strongly suggest that the State
17 agencies and the State look at a way to more effectively
18 engage local governments and make sure that they are
19 capable of participating effectively, and not just the
20 local governments that have the large capacity, and can
21 achieve -- you know, put forth the programs and get
22 engaged with the programs.

23 So, that's something that the Local Government
24 Commission strongly supports. And, you know, we're
25 going to work as hard as we possibly can to help

1 California achieve its goals throughout all of this.

2 So, thank you very much.

3 COMMISSIONER MC ALLISTER: Thanks, Joseph.

4 Bidding adieu to Cliff, thanks very much for
5 your leadership. And give the Governor our report about
6 how wonderful the workshop was. We'd really appreciate
7 that.

8 Jonathan Changus, from NCPA.

9 MR. CHANGUS: Quick, since you've heard plenty
10 from me already today. Talking a little bit about data,
11 I think the important piece about who are we providing
12 data to, because I think it has very different meanings
13 and has very different implications depending on who the
14 recipient is.

15 And I think the low-hanging fruit, if that's
16 what we want to call it, is equipping customers with
17 better data about their own usage, and in a form that is
18 meaningful and helps them understand, is something that
19 we can probably get behind.

20 I think that there's been some mixed messages,
21 as far as how much utilities should be doing as far as
22 assessments and audits since those, in and of
23 themselves, don't usually result in kWh savings, which
24 is the primary metric with which we're judged on our
25 investments.

1 And so, I think some clarity as far as, no, it's
2 more of a market transformation effort versus RA. And
3 that's something that we should be encouraged to do, as
4 I think feedback we're starting to receive.

5 The other bit, though, is once we've provided
6 customers with better data about how they use energy,
7 energy efficiency isn't the only thing on the table for
8 them. We've already seen, kind of, they're in
9 competition, really, with solar, and then there's
10 thermal energy storage applications, and well, and then
11 there's going to be electric vehicles.

12 So, when we talk about market transformation,
13 it's not just limited to energy efficiency. And as we
14 go forward, we kind of have to have a broader
15 perspective, which makes it infinitely more complicated
16 than it already is, talking about once customers have
17 real-time, hourly interval data, what are they going to
18 do with it and what are the signals that we are sending?
19 And how much can we really control?

20 And those are very complicated questions and I
21 look forward to coming forward with more solutions at
22 some point. But I think the first step to recognize
23 that energy efficiency isn't happening in a vacuum.
24 Technology is moving very, very quickly across the DSM
25 marketplace. And I don't know if we really have a firm

1 handle, although the PUC has a number of decisions and
2 we, as Public Power, of course, are looking at it very
3 closely as customers are making decisions even
4 independent of utility programs, how then do we plan for
5 the system on the long term.

6 COMMISSIONER MC ALLISTER: Thanks. And I would
7 just ask that you all think about your third-party
8 partners, and sort of, you know, there's this broader
9 marketplace out there, and those people are selling
10 their goods, and wares, as well. You know, the solar
11 folks have been very successful and we need to sort of
12 create that same sort of momentum around efficiency, and
13 demand response, and all the other services, right.

14 And so, whether that comes from the utility or
15 somebody else, right, so how can we enable that.

16 Dian Grueneich, from Stanford University.

17 MS. GRUENEICH: What fun to be up here.

18 COMMISSIONER MC ALLISTER: Thanks for coming.

19 MS. GRUENEICH: Yes. I just wanted to briefly
20 say the work that I'm now doing at Stanford University,
21 some of you are familiar with it, but just to give an
22 update because it's very relevant, I think, to the
23 issues you're discussing here.

24 Is it's a multi-year project looking at the next
25 level of energy efficiency. And we've had a draft

1 report of our research circulating. But one of the
2 things that I'm pleased to let you know is that the
3 *Electricity Journal* is taking our work, and they're
4 putting it out in a three-part series this year.

5 And the first part will be out in their next
6 issue, and it is describing five of the -- the evolving
7 role of energy efficiency, of which one aspect is the
8 duck curve, and really thinking about the integration
9 with the grid, and CARB.

10 And the second part will be on the new tools and
11 opportunities looking at our financing mechanisms, our
12 technology evolution, and that sort of thing.

13 And then the third is the policy framework. And
14 we'll certainly be keeping you apprised.

15 I had a couple of comments on sort of the
16 research that we've done. One is on tracking progress
17 and whether it's the Governor's goals, or whether it's
18 if the new EERS passes.

19 In our research, we found that it was very
20 difficult to understand the actual savings on codes and
21 standards. And that's part of what we heard about
22 today, which I think is driving some of the baseline
23 discussion.

24 And I know that's a matter of resources, as
25 well, but I think that figuring out how to understand

1 where we're coming with the codes and standards. As I
2 think about it, it is three buckets. One is from the
3 utility or customer-funded programs, of which there are
4 set protocols.

5 The second is the codes and standards. And then
6 the third is market and pricing effects.

7 And that latter category, also, I think, really
8 needs some careful thought about how we will track it.
9 Especially under AB758 that's looking towards us getting
10 to the marketing.

11 This next point I'll say is that I think the
12 baseline issue, I've taken a position on it. I think
13 it's time to just get those savings in the buildings and
14 figure out how to avoid double counting, figure out
15 what's the right use of ratepayer money.

16 But this is climate change. We don't have a lot
17 of time to say we wish other people were doing it.
18 Let's use this public money and get into it.

19 We are doing our work right now, as we are
20 looking at pay-for-performance programs around the
21 country, similar to what Cynthia Mitchell talked about.
22 And we'll be happy to work with the PUC, or somebody, to
23 host a larger money and sort of to the extent it could
24 jump start thinking about that in the commercial sector.

25 The second area we're doing additional work is

1 on the load shapes with the duck curve, that energy
2 efficiency measures have different impacts.

3 and then the third area is on the evolving EM&V,
4 using interval metered data that Stanford has, account
5 level data -- interval meter data for about 400,000 PG&E
6 accounts. So, we've been spending a lot of time
7 thinking about how could you use that interval meter to
8 really help on the EM&V. Thank you.

9 COMMISSIONER MC ALLISTER: Are you supposed to
10 tell us that you have that data? I think we might
11 have --

12 MS. GRUENEICH: Yes, we can tell you. What we
13 can tell you is what it says -- no. It's been whatever
14 it is, anonymized, fully consistent with the PUC.

15 And I want to let you know, I went through my
16 first signing of an NDA with Edison, on the preferred
17 resource pileup. I now have a different view on how to
18 get easy access to data.

19 COMMISSIONER MC ALLISTER: They usually tell you
20 that you're not supposed to even tell anybody that you
21 have the data, but --

22 MS. GRUENEICH: No. There are actually, now,
23 published articles on some of the -- it's fascinating,
24 when you go through and develop load curves for 400,000
25 different buildings and discover the curves that are

1 being used in planning don't match up anywhere near what
2 you really see.

3 COMMISSIONER MC ALLISTER: Thanks for your
4 comment.

5 Jody London, from the LGSEC. That's for
6 sticking it out until 5:00.

7 MS. LONDON: Good afternoon, thank you for your
8 time. Maybe next time you can let us know what your
9 time expectations are. We, in the audience, had no idea
10 when the sessions were going to end.

11 Anyway, on behalf of the Local Government
12 Sustainable Energy Coalition, we are your partners.

13 COMMISSIONER MC ALLISTER: Hold on, Jody, we
14 were only like ten minutes off on most of the sessions.
15 This last one was --

16 MS. LONDON: No, but we didn't even know like
17 that Panel 1 would start here, and anyway.

18 COMMISSIONER MC ALLISTER: Oh, I thought the
19 agenda said all that.

20 MS. LONDON: It didn't have times on it.

21 COMMISSIONER MC ALLISTER: Oh, it didn't, okay.
22 Sorry about that.

23 MS. LONDON: My time is going, Andrew, I know
24 how this works. Excuse me, Commissioner McAllister.

25 So, as your partners, as your local government

1 partners who are responsible for making sure that at the
2 end of the day the codes are enforced, and all that
3 stuff happens, we'd love to have a seat at the table
4 next time.

5 We agree with many, many of the things that were
6 said today. Some highlights for us were these systems
7 are too complicated. You guys are over-studying this.

8 The amount of money, let's just talk for a
9 minute about EM&V. You guys, I think EM&V -- not you
10 guys, but EM&V is done backwards.

11 Rather than say what do we need to study and
12 then how much is it going to cost to study that, the
13 CPUC, at least for the investor-owned utilities, says,
14 we're going to spend X amount of the portfolio on EM&V
15 and then they figure out what questions to ask.

16 And that, to me, seems backwards. It seems to
17 me that we might get a bigger bang for our buck and have
18 more timely use of the EM&V studies, which many people
19 talked about, if we said what are the questions that we
20 need to answer here, instead of shopping around for
21 something.

22 We really, really, really, really, really need
23 data. You've been a great ally for us, here at the CEC,
24 on that. We're really glad that the utilities have it
25 and now we hope that you will help them learn how to

1 share that data with the rest of us.

2 I really appreciated the focus on customers and
3 that customers are lacking here. Local governments
4 interact with customers all the time. We have the best
5 access to them. That's part of why we want to be your
6 partners on this. And we are customers in our own
7 right.

8 Breaking down the silos is really important. I
9 echo everything that Joseph Oldham said.

10 There's a lot of activity that's happening
11 outside of the regulated realm, savings that the
12 regulatory agencies aren't even aware of, particularly
13 with PACE programs and other programs that local
14 governments are instrumental in.

15 So, I hope you'll try to capture those savings.

16 And lastly, on the issue of workforce education,
17 I'm changing hats here, I'm now speaking as a member of
18 the Oakland Unified School District Board of Directors.

19 And you should maybe consider linking up with
20 the California Department of Education. There's a huge
21 push right now, in California, around career technical
22 education, which is where the curriculum that kids learn
23 in high school is linked up with what they might do in
24 the future.

25 And millions and hundreds of millions of dollars

1 are being directed into career technical education
2 grants for community colleges and high schools. And I
3 think there's a huge opportunity to do a lot of the
4 workforce development that was discussed earlier in the
5 day. And I would be happy to talk with you offline
6 about that, wearing only my Oakland Unified hat.

7 Thank you. Millions of dollars are being
8 directed into career technical education grants for
9 community colleges and high schools. And I think
10 there's a huge opportunity to do a lot of the workforce
11 development that was discussed earlier in the day. And
12 I would be happy to talk with you offline about that,
13 wearing only my Oakland Unified hat.

14 Thank you.

15 COMMISSIONER MC ALLISTER: Thanks very much.
16 Right on time, I didn't even have to cede you your extra
17 30 seconds. Thanks.

18 Peter Miller, NRDC.

19 The last two are panelists. I put them last
20 because they already had their chance. But Peter looks
21 like he left.

22 Steve Schiller bringing up -- started us out in
23 the -- oh, it looks like he had to leave, too. Oh,
24 okay.

25 Okay, so yeah, really, Jody, you could have 30

1 more seconds.

2 So, that means we're right on time, we're to
3 minutes after 5:00.

4 I did want to remind people -- oh, do we have a
5 WebEx comment there? Is there anybody who wants to
6 comment at all?

7 MS. RAITT: So, nobody on WebEx, but we could
8 open the lines for just a moment to see if anyone wants
9 to --

10 COMMISSIONER MC ALLISTER: Oh, there's Steve,
11 okay. While he's walking up, I would say, just remind
12 everybody July 20th is the comment due date. And so,
13 please get your comments in. Really, it's going to help
14 us along here.

15 MR. SCHILLER: Thank you. So, I actually had a
16 question for Ralph, but it's at the end of the day, and
17 you all asked for comments and such.

18 But the thing, actually, the point I wanted to
19 run out and talk to Chair Weisenmiller about, was his
20 question about what happened with the CB and the time
21 there. And it's kind of a message for all of you, and
22 for Cliff, and the chair.

23 But the difference was that Pete Wilson was the
24 Governor, and Jerry Brown is the Governor, now. It's
25 about leadership. We've talked about a lot of things

1 today, and leadership matters.

2 And you all are providing that. The assigned
3 Commissioner was not Commissioner Carla Peterman at that
4 time. Leadership matters. It makes differences. You
5 all are doing a great job in the direction, you know,
6 that your setting and providing that leadership.

7 We're going to disagree on some of the details
8 and such, but it's really wonderful to be working here,
9 in California, that has that kind of leadership and it
10 makes a difference.

11 So, I ask you to continue on and the things that
12 happened then, or didn't happen then, a big difference
13 was leadership. And that was my comment, so thank you
14 very much.

15 COMMISSIONER MC ALLISTER: Thanks very much.

16 MR. PRAHL: Great point, Steve.

17 MR. SCHILLER: And, Ralph, talk about
18 Massachusetts sometime.

19 MR. PRAHL: Okay.

20 COMMISSIONER MC ALLISTER: That may have to be a
21 future opportunity. It's 5:04. Thanks, Ralph, and
22 thanks to our last panel here, and all the panelists
23 today. I really appreciate your coming out today.

24 The last thing I want to do is just open the
25 phone lines to make sure we've got everybody covered.

1 So, is there anybody on the phones who wants to make a
2 comment?

3 MS. RAITT: Mute your lines, unless you wanted
4 to make a comment.

5 Okay.

6 COMMISSIONER MC ALLISTER: I think that's it,
7 okay.

8 MS. RAITT: I think that's it.

9 COMMISSIONER MC ALLISTER: Okay, great. Well,
10 thanks to all of you for sticking it out, and Tom and
11 Commissioner Peterman, thanks very much.

12 CPUC COMMISSIONER PETERMAN: Yeah, thank you,
13 Commissioner McAllister. I just wanted to say, quickly,
14 that I appreciate for many of you, you might have felt
15 like you've had various parts of this conversation many
16 times.

17 And I can say I, for one, I've learned something
18 from this conversation, particularly just -- I'm really
19 trying to think about what's the next step we can take.

20 And I really appreciate there's a lot of
21 momentum in this room. And so, the reason we wanted to
22 have this is because we actually do need to make some
23 decisions in the next several months about what to do.
24 And so, thank you for taking the time.

25 I'm personally very interested, again, to see

1 how we do things on a statewide basis, how we can be
2 coordinated with the publicly-owned utilities. And so,
3 I look forward to having further conversations in that
4 regard. Thanks.

5 COMMISSIONER MC ALLISTER: I'll just finalize by
6 saying, you know, I think some of the comments about how
7 we need to work better across the agencies are
8 absolutely -- you know, we're taking them to heart. I
9 think we're working tremendously well, from
10 historically -- relative to historically, I think we're
11 doing more coordination than ever, and really aligned on
12 the policy goals, you know, under the Governor's vision.

13 But the structural issues are real. I mean,
14 things that are better done are set at the Energy
15 Commission, versus the Public Utilities Commission,
16 versus each POU, what legislation, you know, can
17 reasonably do productively and, you know, help us along
18 and not make things more complicated. I think, really,
19 critical thinking is more important than ever. And so,
20 not just on the technical and the programmatic, but also
21 on the sort of agency structure responsibility issue.

22 So, you know, something to sleep on and write
23 your comments about.

24 So, really appreciate everybody, again,
25 participating and giving us your day.

1 So, we're adjourned.

2 (Thereupon, the Workshop was adjourned at

3 5:07 p.m.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 27th day of July, 2015.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 27th day of July, 2015.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520