

## DOCKETED

<b>Docket Number:</b>	15-IEPR-05
<b>Project Title:</b>	Energy Efficiency
<b>TN #:</b>	205668
<b>Document Title:</b>	Transcript of the July 27, 2015 IEPR Commissioner Workshop on Existing Building Energy Efficiency Standards
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	8/10/2015 2:53:59 PM
<b>Docketed Date:</b>	8/10/2015

COMMITTEE HEARING  
BEFORE THE  
ENERGY RESOURCES CONSERVATION AND DEVELOPMENT  
COMMISSION OF THE STATE OF CALIFORNIA

In the matter of, )  
 ) Docket No. 15-IEPR-05  
 )  
2015 Integrated Energy Policy )  
Report (2015 IEPR) )

**IEPR COMMISSIONER WORKSHOP ON  
EXISTING BUILDING ENERGY EFFICIENCY STANDARDS**

CALIFORNIA ENERGY COMMISSION  
FIRST FLOOR, ART ROSENFELD HEARING ROOM  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

MONDAY, JULY 27, 2015

1:00 P.M.

Reported By:  
Peter Petty

**CALIFORNIA REPORTING, LLC**  
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

## APPEARANCES

Commissioners

Andrew McAllister, Lead Commissioner, IEPR Committee

CEC Staff Present

Stephanie Bailey

Maziar Shirakh

Presenters

Randy Goodwin, City of West Sacramento

Bob Barks, Interwest Consulting Group

Cynthia Moore, Contractors State License Board (Via WebEx)

Wes Sullens, StopWaste

Charlie Bachand, CalCERTS HERS Provider

Jesse Fulton, Renovate America, Inc.

Brian Selby, Selby Energy, Inc.

Don Langston, HVAC Contractor

Public Comment

Kent Whiting, Stack Lighting

George Nesbitt, HERS Rater

Bob Wiseman

Alima Silverman, Tierra Resource Consultants

Adrian Salas, SDG&E

Ishtiaq A. Chisti, SCE

## INDEX

	Page
Introduction Stephanie Bailey	4
Opening Comments Commissioner Andrew McAllister	6
Presentations	
Randy Goodwin, City of West Sacramento	29
Bob Barks, Interwest Consulting Group	38
Cynthia Moore, Contractors State License Board	52
Wes Sullens, StopWaste	60
Charlie Bachand, CalCERTS HERS Provider	71
Jesse Fulton, Renovate America, Inc.	88
Brian Selby, Selby Energy, Inc.	105
Don Langston, Aire Rite Airconditioning	116
Public Comments	149
Adjournment	167
Reporter's Certificate	168
Transcriber's Certificate	169

## P R O C E E D I N G S

1  
2 JULY 27, 2015

1:00 P.M.

3 COMMISSIONER MC ALLISTER: I'll pass it to  
4 Stephanie.

5 MS. BAILEY: Thank you. Good afternoon, welcome  
6 to today's IEPR Commissioner Workshop on Existing  
7 Building Energy Efficiency Standards.

8 I'm Stephanie Bailey and I work on the IEPR team  
9 here, at the Energy Commission.

10 I'll begin with a quick update to the agenda.  
11 Walker Wells was originally included as a speaker for  
12 today's workshop, but will not be participating this  
13 afternoon.

14 I'll also, quickly, go over the usual  
15 housekeeping items. Restrooms are in the atrium, out  
16 the door and to your left. And we have a snack room on  
17 the second floor, at the top of the stairs.

18 If there's an emergency and we need to evacuate  
19 the building, please follow staff to Roosevelt Park,  
20 which is across the street, diagonal to the building.

21 Today's workshop is being broadcast through our  
22 WebEx conferencing system and parties should be aware  
23 that you are being recorded.

24 We'll post the audio recording on the Energy  
25 Commission's website in a couple of days and the written

1 transcript in about a month.

2           At the end of our presentations today there will  
3 be an opportunity for public comments. We are asking  
4 parties to limit their comments to three minutes, so  
5 that the maximum number of participants have an  
6 opportunity to speak.

7           For those in the room, who would like to make  
8 comments, please fill out a blue card and give it to me.  
9 When it's your turn to speak, please come up to the  
10 center podium and speak into the microphone. It's also  
11 helpful if you can give our court reporter your business  
12 card.

13           For WebEx participants, you can use the chat  
14 function to tell our WebEx coordinator that you want to  
15 make a comment during the public comment period, and  
16 we'll either relay your comment or open your line at the  
17 appropriate time.

18           For phone-in-only participants, we'll open your  
19 lines after hearing from the in-person and WebEx  
20 commenters.

21           If you haven't already, please sign in at the  
22 entrance to the hearing room.

23           Materials for this meeting are available on the  
24 website and hardcopies are on the table, at the entrance  
25 to the hearing room.

1           Written comments on today's topics are due  
2 August 10th. And the workshop notice explains the  
3 process for submitting written comments.

4           With that, I'll turn it over to Commissioner  
5 McAllister for opening remarks.

6           COMMISSIONER MC ALLISTER: All right, thank you  
7 very much, Stephanie.

8           And I want to thank everyone for coming. We  
9 have a great long -- long panel, essentially. I'm going  
10 to -- there are a lot of people on this, right, and we  
11 just have the whole afternoon.

12           And I think I'm going to sort of take -- put my  
13 prerogative and interject with questions when I feel  
14 like I need to, for clarification for the most part,  
15 rather than wait until the end. But, also, want to try  
16 to keep things moving along because we do have quite a  
17 number -- even without Walker, we have quite a number of  
18 presentations.

19           So, you know, why are we here? You know, I  
20 think clearly code, building code, as expressed through  
21 Title 24 part 6, and also, now, part 11, we --  
22 particularly, part 6, what we'll be focusing on today,  
23 is a key policy arena for California. We've shown  
24 leadership for decades. We've gotten incredible results  
25 from code, from using that as a way to kind of highlight

1 best practices and encourage the marketplace strongly  
2 through code, and on the local level, through voluntary  
3 adoption of stretch codes to push the building sector,  
4 the new construction sector, and the existing buildings,  
5 to do high rates of energy efficiency. And I think it's  
6 been just a social and private, if you look at those two  
7 economic perspectives, a no-brainer, a winner all across  
8 the board.

9           So, we do have these days, over the last few  
10 years, an increasing focus on the existing buildings.  
11 And we know that there are many energy savings  
12 opportunities there. And we know we have to go get them  
13 because our goals have gotten stronger, our urgency,  
14 certainly, every year is greater.

15           And it's not just about California being a  
16 leader and seeing how far we can go. It's about meeting  
17 our needs for a cogent, rational response to our energy  
18 situation and climate change, among a number of other  
19 goals. But they're all in alignment that we need to do  
20 better getting the performance of our existing building  
21 stock up.

22           At the same time, code is quite increasingly  
23 complex, I think. The degree to which it's complex, I  
24 think is something we can differ about. And I think  
25 part of today's goal is to come to the table with well-

1 founded viewpoint and opinion on -- partly on that  
2 point.

3           Are there issues that are keeping existing  
4 buildings from getting upgraded? Are there issues with  
5 code that are keeping projects from happening? You  
6 know, what is the state of permitting compliance? We're  
7 talking about residential and commercial. We have some  
8 representation from both. I think we're a little tilted  
9 towards the residential. But I think we want to open up  
10 this conversation in a very forthright way.

11           And that's really why I wanted to have this  
12 workshop in the dual contexts of the IEPR and the AB 758  
13 Action Plan.

14           So, you know, AB 758 is something that we're  
15 really focusing on in a sustained way, here at the  
16 Commission, trying to engage on all the different fronts  
17 with stakeholders who are out there doing stuff in the  
18 marketplace on existing buildings, commercial, all types  
19 of commercial, all types of residential to see how we  
20 can encourage those projects to occur.

21           I think there's maybe not quite consensus, but  
22 there's a general feeling that there's a lot of savings  
23 that aren't getting harvested. Or if they are, we don't  
24 really know about them or we can't really see them. And  
25 so, you know, what is the reality out there? What are

1 the barriers that all of you, practitioners, and  
2 building owners, occupants, managers see? What are  
3 those barriers and how can we identify them, unpack them  
4 and come with solutions?

5           So, really, I would really -- I would encourage  
6 everyone today, whether it's the panelists, the  
7 presenters, the panelists, the audience in the room, on  
8 the web, on the phones, stakeholders of all types, but  
9 today and in written comments to think about what the  
10 nature of any -- you know, any barriers, certainly, but  
11 an aspects of code, as it applies to existing buildings  
12 you want to talk about and get comments in on, and help  
13 us understand.

14           And, certainly, I would ask that to the extent  
15 those are barriers or issues you need addressed, you  
16 would like to see addressed, solutions are really a key  
17 part of it. You know, obviously, we want the dialogue  
18 to be respectful and driven by actual experience and,  
19 where possible, data. But we certainly want to be able  
20 to chart a path towards solutions, towards making it all  
21 work better.

22           I think our existing buildings are, to some  
23 extent, and you know, again, the degree of this is, I  
24 think, an issue of some debate, but the cost  
25 effectiveness of a given measure in a new construction

1 setting versus an existing setting, a retrofit setting  
2 may be different.

3           And so we've asked a question along those lines,  
4 where is it -- where is kind of the focus or the  
5 generally conditioning for the conversation by new  
6 construction? Where does that kind of inadvertently  
7 become a problem in existing buildings? You know, I  
8 think there are some areas where that's the case, but  
9 probably it's not everywhere. So, need you all to help  
10 us understand that.

11           You know, we're hearing towards zero net energy.  
12 And to the extent that that focuses on new construction,  
13 to a large extent, we also need to see code as something  
14 that can help us perhaps get there in retrofit settings,  
15 as well.

16           So, I really think it's an opportune moment to  
17 have this conversation, to talk about sort of -- let's  
18 call them best practices or how we can sort of update  
19 code as it is developed, and practices, you know,  
20 implemented on the ground to focus on our existing  
21 buildings and really get those savings that we believe  
22 are out there. And, you know, that have all sorts of  
23 co-benefits. There's no reason why they shouldn't be  
24 happening. So, if there's something in the way, let's  
25 get it out of the way. If there's something that we

1 need to highlight, then let's do that.

2           So, with this long, kind of preamble to today, I  
3 just wanted to frame this issue for everyone to let you  
4 know here's what we're trying to do. It's really  
5 focusing in the context of AB 758, the context of the  
6 Governor's third goal, which is to vastly improve the  
7 energy efficiency of our existing building stock.

8           This is an issue that just comes to the fore  
9 repeatedly. And so, with that theme, we've seen that we  
10 really need to have, start a dialogue about it.

11           And, really, the IEPR, and the AB 758 Action  
12 Plan that's in a draft out there for comment, presents a  
13 great opportunity to have that conversation.

14           So, I really appreciate everyone thinking about  
15 this, and your effort, and looking at ways that  
16 California can kind of use this process to get to  
17 solutions that really help our citizens, and their  
18 buildings operate better, their performance of their  
19 building, and just all the co-benefits that we know  
20 existing building upgrades generate. And do that in a  
21 way that works with the marketplace and leverages code  
22 for that purpose.

23           So, again, I really thank you all for coming.  
24 And with that, I will pass it to our panelists. I  
25 believe, Mazi, you're first? Yeah, there we go. Great.

1 So, thanks again, everybody, for being here.

2 MR. SHIRAKH: Good morning. You want me to  
3 speak from here or you want me to come up there and  
4 drive? I can do it from here, if you think it's best.

5 This is Mazi Shirakh. I'm the Project Manager  
6 for the Building Energy Efficiency Standards, the 2016  
7 was adopted a few weeks ago, mostly.

8 So, I'm here today to talk about compliance  
9 documents, or forms, and the vision form.

10 Next, please. So, you know, what are compliance  
11 documents? These are basically a set of forms or  
12 documents that are published as part of the residential  
13 and nonresidential compliance manuals. They generally  
14 include a certificate of compliance. On the residential  
15 side, that will be a CF1R. A certificate of  
16 installation, which would be a CF2R.

17 There are also certificates of acceptance, which  
18 are nonresidential forms. Certificates of field  
19 verification. They're mostly residential, with a few  
20 exceptions for nonres. These would be the CF3Rs.

21 There are also a number of worksheets that are  
22 used for performing calculations, and area averages, and  
23 so forth.

24 These forms all have -- or documents -- I'm  
25 going to be using the compliance documents and forms

1 terminology interchangeably. The correct form is  
2 compliance documents, but sometimes it slips out of my  
3 mouth as forms.

4 Instructions are always included, either on the  
5 documents, themselves, or as a separate document.  
6 Sometimes it's embedded at the end of each chapter in  
7 the nonres.

8 The residential forms tend to include the  
9 documents as part of them. Currently, that's the way it  
10 is.

11 The next, please. They're used for -- the  
12 primary use of the compliance documents would obviously  
13 be compliance enforcement for plan checking, and field  
14 verification.

15 In addition, the electronic registered documents  
16 have additional benefits. They can be used by the  
17 Commission, or the CPUC, or the utilities for existing  
18 program evaluation. Or, if they want to develop new  
19 programs, they can also see the information in these  
20 forms.

21 They can be used to assess the effectiveness of  
22 incentive programs. And one of the best uses would be  
23 data mining. That, you know, you can have, at your  
24 fingertips, a gold mine of data, and you can go in there  
25 and assess, or know, or learn about the different

1 equipment and practices that go into the buildings.

2 I'll talk about that a little bit later.

3           And electronic data registries also can augment  
4 the RD&D efforts. For instance, if you want to know how  
5 many mini-splits go into the buildings versus  
6 traditional air conditioning system, without it you have  
7 to basically develop an RD&D program.

8           With this system at your fingertips, you can go  
9 in there and find out what that information is, in  
10 minutes.

11           Next, please. So, why have these compliance  
12 documents? Why so many? Title 24 has 11 parts. All 11  
13 parts have forms to different degrees.

14           Part 6 tends to have the most complicated forms.  
15 And the reason is that by law the energy, or part 6 is  
16 the only code that requires a prescriptive and  
17 performance alternative in all 16 climate zones.

18           For most of the other codes, the requirements  
19 tend to be fairly static. For instance, you have to  
20 have so many feet between each receptacle, so it doesn't  
21 really change from building to building, or climate zone  
22 to climate zone. The toilet should be 17 inches from  
23 the sidewall, and things like that.

24           So, the building code is very different because  
25 these requirements can be significantly different

1 between retail, office, schools, residential,  
2 nonresidential, and it also varies significantly by  
3 climate zones. And by law, we have to provide these  
4 alternatives. So, the forms will tend to be more  
5 complicated.

6           And again, similar to that, the part 6 forms  
7 often require complex calculations. For instance,  
8 calculating lighting power densities and lighting  
9 allowances for nonresidential buildings. You know, they  
10 could be fairly calculated. Or, HVAC air flow  
11 calculations are two examples.

12           But then, again, these are things that you need  
13 worksheets and perform calculations that are different  
14 than the rest of the building code.

15           And so, having documentation retained  
16 indefinitely can also enhance compliance with the  
17 standards.

18           Next, please. Then why so many forms? The  
19 residential have about 120 plus forms, nonres have about  
20 90. But the reality is that for any given project, you  
21 only need a subset of these forms.

22           For example, there are five MCH-20 duct leakage  
23 testing and about five MCH-20 refrigerant charge and  
24 verification forms. You know, they handle different  
25 situations that may exist in different buildings. But

1 for a given project, you'll probably need only one of  
2 them. You can ignore the other four.

3 And, also, many of the forms are developed  
4 specifically for newly constructed buildings, or for  
5 additions, or for alterations so, for your project, you  
6 only need one of these, not the rest of the buildings.

7 And if you're using performance path, which is  
8 the majority of compliance in the State, the performance  
9 path will provide, basically create the CF1R for you.  
10 It will update it into a HERS data registry  
11 automatically. And then that data in the registry can  
12 further populate the CF2Rs and 3Rs.

13 So, the amount of data entry into the system is  
14 greatly reduced by having the registries and the  
15 performance path as an option.

16 Next, please. Even for the prescriptive, you  
17 know, you can go up to, you know, a data registry and  
18 upload your form, your information into the registry and  
19 you'll create a CF1R, and you'll populate the 2Rs and  
20 3Rs.

21 Is that correct, Mike?

22 MR. BACHAND: Yes, it is.

23 MR. SHIRAKH: Yeah. Can the number of  
24 compliance documents and the input be reduced?

25 Absolutely, especially taking advantage of the

1 electronic documents and the HERS data registries.

2           The fact is that we have -- what we've done so  
3 far, we've created paper forms, which is traditionally  
4 been used, and we've transferred those into an  
5 electronic. What needs to be done is, basically think  
6 about an electronic universe, and think within that  
7 context what would the best, and most compact, and  
8 efficient thing to do to create documents that would  
9 meet those three criteria, compliance and enforcement  
10 activities, program evaluation and development, and data  
11 mining.

12           So, I think the forms we have does that, but  
13 they can be certainly more compact and more efficient,  
14 but it requires redesign of the forms.

15           The next, please. Can the compliance documents  
16 be further simplified? Yes, they can be, depending on  
17 what the requirements are.

18           There are some sections in the standards that  
19 are mostly just mandatory requirements and they do not  
20 require complicated calculations, but they do have a lot  
21 of, basically, specific requirements for specific  
22 applications.

23           Examples are sections 13 through 133, which is  
24 lighting controls, or section 130.5, which is the  
25 electrical power distribution system.

1           So one option, maybe, instead of repeating all  
2 the different requirements for these sections is  
3 basically have one checkbox and the responsible person  
4 will check that box. And by that, they agree that  
5 they're complying with all of the requirements of that  
6 section, without repeating it.

7           And the thought is, because this is electronic  
8 data that's going to be retained, the responsible  
9 person's license is on the line, then it will enhance  
10 the opportunity for better compliance.

11           Next, please. What are the benefits of  
12 electronic documents and data retention? Obviously, it  
13 reduces the amount of paper documents that are needed.

14           It can be used by the Energy Commission and  
15 others for program evaluation and development. It can  
16 autofill a lot of the data fields, using information  
17 from other documents, or the registries, greatly  
18 enhancing the need for manual data entry.

19           Ability to reduce the number of signatures  
20 required by the same responsible person. Instead of  
21 signing five different documents, or ten, you can do it  
22 once and apply it to all the documents.

23           It allows for data mining. It makes possible,  
24 through research, the kind of system that are in  
25 practice, that are installed in buildings.

1           Some examples here, for example, the percentage  
2 of 2-by-4 versus 2-by-6 framing for exterior walls. And  
3 some of these we've already used in the 2016 standards  
4 development.

5           Or, to verify duct leakage in the buildings.  
6 You know, it can be very simple and easy to go to the  
7 CF3Rs and see what kind of leakage people are measuring  
8 in buildings.

9           Or, the type of HVAC systems. Like, for  
10 instance, the mini-splits versus traditional. Looking  
11 to the future, it's also going to be possible, you know,  
12 as we're moving to ZNE, to add other building systems.  
13 For instance, how many homes are having PVs on the roof  
14 to meet the ZNE goals? You know, what are the sizes and  
15 capacity of those PV systems? What kind of inverters  
16 are they using? Are these mini inverters or centralized  
17 inverters? And then, can also some people can go back  
18 and check the performance of those systems, and the  
19 longevity, and other characteristics of those systems.  
20 So, it's going to be really convenient to have those  
21 into the registries or a repository.

22           And then, again, data mining can greatly replace  
23 or enhance existing RD&E projects.

24           Next, please. What are the benefits of  
25 electronic documents and registries? In mind, it's one

1 of the greatest benefit of having electronic data  
2 retention is that if somebody who maliciously claims  
3 compliance with the standards consistently, you know,  
4 they're at a greater risk of being exposed by having  
5 this data retained indefinitely.

6 Next, please. So, going paperless, the  
7 compliance, you know, the CDs, the compliance document,  
8 the electronic can eliminate nearly all the paper forms.  
9 This is actually a concept that I think was introduced  
10 by the gentleman sitting to my right here, Mike  
11 Bachand -- Charlie, I'm sorry. Mike is your father.

12 MR. BACHAND: Yes.

13 MR. SHIRAKH: So, you can help me actually  
14 present this. So, the idea is to have a compliance  
15 summary sheet. This is a new concept to replace the  
16 paper CDs generated. It's generated by the registry,  
17 one for each project. At least all the registered  
18 compliance documents associated with the project,  
19 including all the CF1Rs, 2Rs and 3Rs that are associated  
20 with that project and are on that registry.

21 And then the compliance summary could also, in  
22 the electronic version, could include hyperlinks to each  
23 of these forms that are on the registry. And the paper  
24 form could list all the URLs.

25 And then, probably the compliance summary would

1 be the only form that is submitted to a building  
2 department or left on the building, with the associated  
3 hyperlinks and the URLs. And then anyone, the  
4 enforcement agency or the homeowner, if they want to  
5 view and print the other forms, they can simply click on  
6 the hyperlink, view that form and print it and, you  
7 know, do whatever they want to do.

8           So, do you have anything to add to that, Mike?  
9 I mean, Charlie.

10           MR. BACHAND: I have a presentation that more or  
11 less focuses on just exactly that.

12           MR. SHIRAKH: So, this was probably a good segue  
13 for his presentation. But the idea here is that, you  
14 know, with this concept you don't need to bring a stack  
15 of forms to the building department anymore, you just  
16 give them one paper.

17           Next, please. So, along with the registries,  
18 there's always this idea of a document repository. And  
19 so what is it? It's currently we have several HERS  
20 provider registries. Some of them do newly constructed  
21 buildings, some of them do alterations, some of them do  
22 all of them.

23           So, the idea would be to have one centralized  
24 location where all this data will eventually reside.  
25 So, that's what we call the central document repository.

1           It has certain benefits, that I've listed a few  
2 of them here. Automatically receives and retains copy  
3 from each document listed by a registry. So, every time  
4 a document is uploaded into a registry, it's approved,  
5 it's finalized, you know, a copy of that will  
6 automatically get transferred into the central  
7 repository.

8           And by doing that, all these registered  
9 documents are centralized in one location, instead of  
10 four or five different places.

11           The documents will be retained in custody of the  
12 Energy Commission and, thus, are admissible as evidence  
13 for enforcement proceedings. Supports building energy  
14 efficiency research by a variety of stakeholders.

15           Data mining becomes a lot easier. Instead of  
16 doing data mining in four or five different registries,  
17 you do it in one central location.

18           It makes it much more convenient for us to  
19 comply with the Freedom of Information Act, or public  
20 information requests because then we have to go into one  
21 central repository, instead of many different  
22 registries.

23           And you can actually customize the software to  
24 do all kinds of things. And if you're just looking for  
25 a very specific piece of information, you know, you can

1 customize that. Again, how many windows in the State  
2 meet Energy Star requirements? And you can easily  
3 customize that. How many SEER 15 HVAC systems have been  
4 installed throughout the State? You can easily do that.

5 Or if you need to redact certain information,  
6 which cannot be publicly available or published, you can  
7 do that very easily through the central repository.

8 Next, please. The resources needed for the  
9 document repository. The software has already been  
10 pretty much developed and it's now complete. So, the  
11 only infrastructure we need is, basically, server space  
12 on the Natural Resources Agency's server.

13 The URL and storage space, as a server at the  
14 Natural Resources Data Center must be approved. And  
15 this is something they're doing for many of our  
16 activities, so this would be an additional task.

17 The IT technical contractor and administrator of  
18 the Natural Resources Agency must have some oversight  
19 over the central repository. And there would probably  
20 be some staff resources involved at the Energy  
21 Commission to oversee this document.

22 But, essentially, you know, it's an additional  
23 thing that the IT service should be doing at the Natural  
24 Resources.

25 Next, please. Nonresidential compliance

1 documents. So far, when we've talked about electronic  
2 registries, we've been talking exclusively about  
3 residential documents since, currently, there are no  
4 nonresidential registries approved or operational in the  
5 State. All the prescriptive forms for nonresidential is  
6 still a stack of papers.

7           However, all of the infrastructure and the  
8 knowledge that we've developed for residential forms is  
9 available or is applicable to the nonres form.

10           There are more nonres forms and sometimes they  
11 contain more calculation, especially the lighting forms.  
12 And, therefore, there are significant resource  
13 commitment to develop these.

14           The electronification, I don't know if that's an  
15 English word or I made it up, but Word didn't recognize  
16 it, but I think the intent is understood, of nonres, the  
17 compliance documents represents a greater opportunity  
18 for compacting the CDs and eliminating duplication.

19           If you go through our nonres forms, again I'm  
20 very familiar with the lighting forms, there's a lot of  
21 repetition in there, and there's a lot of data input.  
22 Again, because these were paper forms. They were not  
23 meant to be -- or they're not meant to be directly  
24 transformed into electronic forms.

25           So, a first step here may actually be

1 redesigning some of these forms before we start the  
2 transferring to electronic documents.

3           Again number five says most of the knowledge  
4 we'll gain from nonres forms, like the design layout,  
5 data dictionary, which is a standardized dictionary that  
6 has to be followed, and the report generator, all of  
7 that can be applicable to nonres CDs.

8           The main missing element is the XML schemas that  
9 we developed for the residential forms in 2013. So,  
10 that's what's missing for nonres, that's the biggest  
11 piece.

12           The other approach would be to have each  
13 registry develop their own XML schemas, similar to the  
14 2008 standards. But the advantages and disadvantages,  
15 with the Commission, when we did what we did with 2013  
16 standards, it was definitely a resource commitment. You  
17 know, we missed more than a few nights of sleep over  
18 that, as the deadlines were approaching.

19           But the big benefit was that it provided a  
20 standardized platform for all providers and an eventual  
21 repository, where everybody spoke the same language. We  
22 didn't speak French and English. And so, that greatly  
23 enhances the chance for data mining, and having a useful  
24 and, you know, limiting any confusion when that happens.

25           But we did have the 2008 approach where each

1 registry developed their own version of the XMLs.

2           And there's been some interest by private  
3 parties to develop nonres registries, but so far we  
4 haven't had any takers, yet.

5           Next, please. So, in summary, compliance  
6 documents are needed for part 6 because they're more  
7 complex than the rest of the Building Code. Compliance  
8 documents are used for compliance and, therefore, it's  
9 program evaluation and development.

10           Electronic media can, you know, greatly decrease  
11 the number of the forms, the data increase, and have  
12 very compact and efficient documents. They can  
13 eliminate the need for printing paper forms altogether,  
14 almost entirely. And they can supplement the  
15 traditional enforcement efforts and not replace them.

16           So, I think next. So, that's it and I'll be  
17 happy to answer any questions or move to the next.

18           COMMISSIONER MC ALLISTER: Thanks, Mazi. I did  
19 have one question. So, you know, when you were thinking  
20 about the migration towards electronics, obviously, I  
21 think that on its face that's a good thing, and  
22 simplification is good and sort of, you know, rooting  
23 our redundancy is good.

24           In terms of how, you know, say, a given project,  
25 in a given jurisdiction, what that looks like to the

1 building department and whether the building department  
2 can sort of interface with that, or whether it's really  
3 a hall pass to their existing processes, how do you see  
4 that? And, you know, are you kind of in contact with  
5 building departments to make sure that as we move  
6 forward on that, that that works with them?

7 MR. SHIRAKH: Yeah, we're definitely planning to  
8 work with building departments. They're a critical  
9 partner in developing this.

10 The vision that I've described would be for them  
11 to make their jobs easier. I think the problem that we  
12 have, currently, is over the past 30 years we rely on  
13 building departments to enforce the standards. But  
14 their role is very limited and they come in mostly at  
15 the end of the process, where they're doing a field  
16 inspection.

17 And so, at that time there's very limited  
18 opportunity to do the things right that should have been  
19 done nine months ago, when the building was being built.

20 So, part of this vision is to basically transfer  
21 that responsibility from the field inspector, who comes  
22 in at the very end, to the practitioners, the  
23 professionals that are supposed to be designing and  
24 installing the systems, as the building is being built.

25 For instance, you know, we're talking about

1 lighting. Somebody is doing the lighting power density  
2 calculations. They're specifying the type of fixtures  
3 that are going into each room and, you know, they must  
4 make sure that the installed power is equal or less than  
5 the allowed power. And then, they also have to install  
6 all of the controls that are needed.

7 So, it's really not fair to expect the building  
8 inspector, at the very end, to come back and try to  
9 correct all of that. It should really be done correctly  
10 from the get-go.

11 So part of this effort, by holding the  
12 responsible person and their licensed responsible for  
13 this is an effort to actually augment and help building  
14 departments to do the compliance.

15 So, we would like to work with the building  
16 departments and hear what they have to say. And so,  
17 this was an initial vision that we're putting forward,  
18 but we definitely want to work with them.

19 COMMISSIONER MC ALLISTER: Great. Okay, so  
20 let's see, we have a number -- like I said, we have a  
21 number of presenters and I think that's a great segue,  
22 actually, to the next presenter, who's from the City of  
23 West Sacramento.

24 And I think, depending on how things go time  
25 wise, we might sort of break in the middle, if there's a

1 natural break, possibly, where Walker was, to have a  
2 little Q and A on the residential side. But we'll kind  
3 of see how the timing goes on that.

4 So, stay tuned. I know people -- I would  
5 encourage everybody to just, you know, write your  
6 questions down so you remember them, and when the time  
7 comes we'll have that dialogue.

8 And I'll also give some advice about these  
9 pitchers here, with the water in them. You kind of need  
10 to open them up before you pour, or it's a big mess.  
11 And we know how precious water is these days so --

12 Okay, so Randy Goodwin.

13 MR. GOODWIN: Yes. Mazi, thank you. I really  
14 don't have anything in detail to say, beyond what you've  
15 said. You said it. And I've worked with you in the  
16 past on other things. I'll look forward to working with  
17 you on this.

18 You know, one of the programs that spun off of  
19 the good work that the Energy Commission does is the ACE  
20 Program. And that is a program that I think represents  
21 not only integration, but simplification. And it  
22 created, you know, not necessarily a single repository  
23 or even a group of repositories, but it really focused  
24 on the process.

25 And, Mazi, I don't contradict, in fact I agree

1 with everything that you've said.

2           What I hear from my colleagues and what I hear  
3 from my staff is what we've all heard many times, it's  
4 too complicated.

5           And we, as regulators, don't have the time to  
6 deal with the volume that is required and the  
7 complication, especially on the nonres side. On the  
8 residential side, and maybe that's just the nature of  
9 the business that I'm in, many of the inspectors and  
10 plans examiners, current plans examiners, came out of  
11 the residential side as contractors, construction  
12 professionals through the residential side of  
13 construction. And so, they get it. They understand it.  
14 They understand the importance of it.

15           When it comes to the nonres, as you said, Mazi,  
16 I mean there are numerous forms. And we, the collective  
17 we, as regulators, have done our best to instruct many  
18 of the industry professionals that come in, the  
19 mechanical contractors, and even some of the mechanical  
20 engineers to help. But, frankly, we don't understand  
21 the complications and we have limited time at the  
22 counter.

23           And that's where the ACE program, just as an  
24 idea, worked. West Sacramento was a beta site for the  
25 ACE program. And I've received nothing but positive

1 feedback on that from folks at the counter, from my  
2 permit staff, to the inspectors and the plans examiners.

3           And, Mazi, you put it well, too, that the code  
4 is -- you know, we're really dealing with a different  
5 approach between part 6 and most, if not all, of the  
6 rest of the code. That it's minimum standards for fire  
7 and life safety, there's accessibility. And as I think  
8 most of us know, we're at the 25th anniversary of the  
9 ADA, as of this last weekend.

10           And it comes down to time, that between  
11 accessibility and energy compliance, I know my plans  
12 examiners, and they're forthright, dedicated people, and  
13 my inspectors, and especially the plans examiners, they  
14 spend easily 50 percent of their time on energy  
15 compliance and accessibility.

16           Well, it's very, very important to them and  
17 very, very important, just period, for the fire and life  
18 safety portion to be reviewed thoroughly, and to catch  
19 any discrepancies.

20           And so, the energy provisions are just naturally  
21 competing with many, many other things. And again, in  
22 the regulatory environment, the profession, fire and  
23 life safety almost exclusively comes first.

24 Accessibility has a constituency and a voice, and it's  
25 very important. It's civil rights law and that's

1 important stuff. And so, accessibility has received a  
2 lot of time and a lot of attention.

3 Well, the energy provisions are competing with  
4 all of that. So, the more we can simplify it, the more  
5 educated the professionals are that come to the counter,  
6 so we don't have to spend time educating them, the more  
7 compliance we'll get.

8 And, you know, back to my early comments about  
9 the ACE program, I saw, and we've all seen a significant  
10 uptick on the residential side with that program. And  
11 we've been able to, at the counter, run residential  
12 contractors, developers through that and they get their  
13 arms around it pretty quickly.

14 If we can do that on the nonres side, that would  
15 really help and I think focus, not so much on -- you've  
16 got a captured audience with the regulators and the  
17 building officials but -- and I do have to compliment  
18 the Energy Commission, again. The Commission is the  
19 most responsive. I'm President of Sac Valley  
20 Association of Building Officials. The Commission is  
21 there, as a State agency, every month during our  
22 meetings. You're available.

23 But it's just the complexity and the amount of  
24 documentation that just it can't be done, there's just  
25 not enough time right now for it to be completely

1 captured. So, things fall away. And it's not  
2 purposeful, it's not malicious, it's not a bunch of  
3 building officials who don't care, because they do.  
4 It's really trying to get it all accomplished. And it's  
5 a very difficult to impossible task with some projects,  
6 or collective projects.

7           And just, again, I'm repeating what all of us  
8 know. I'm coming out of the recession, building  
9 departments divisions were eliminated in some  
10 jurisdictions. I mean, completely eliminated. All  
11 jurisdictions were cut back. And we're trying to catch  
12 back up but, as we know, government responds slowly.  
13 And we're all busy. And there's a big lag between  
14 having enough people, which we'll never have, that's not  
15 how government works, we all wear a lot of hats, and  
16 actually being able to do what's given to us.

17           So, as a group we're committed to helping, to  
18 enforcing, to getting to zero net. We need your help.

19           COMMISSIONER MC ALLISTER: Thanks very much,  
20 Randy.

21           So, really, two things. What's the scale -- so,  
22 you know, I think I'm interested in whether the kind of  
23 constraints and priorities that you have, and the  
24 difficulties you have are uniformly felt in other  
25 jurisdictions across the State? I think those themes

1 are something we hear often. So, I want to dig into  
2 that a little bit and, hopefully, other presenters can,  
3 as well.

4           Is there a fundamental problem of resources  
5 that, you know, really is unsolvable, I guess? Or is  
6 there some balance that you can reach, where you're  
7 really getting the right kind of coverage. You know,  
8 maybe there will always be details that you can or can't  
9 get to, or they'll fall off. But I guess I'm trying to  
10 get a scale of the time and resource problem relative to  
11 the status quo, kind of. You know, how much would it  
12 be, double, triple, tenfold? You know, what would it  
13 be? And trying to see it within that regulatory context  
14 that you referred to.

15           Right, I mean, we shoot for the moon, obviously,  
16 but what's the sort of minimum requirement for some kind  
17 of balance where you feel like you're not just triaging  
18 all the time?

19           MR. GOODWIN: Well put. Well, I'm an optimist.  
20 I have colleagues that just say we'll never get there,  
21 you know, quite honestly. I think if -- that's why you  
22 started talking about the ACE program. If we simplify  
23 and we are able to have a central repository, there will  
24 be some problems electronically. There are always  
25 problems electronically, getting platforms to talk to

1 one another, integrating platforms. But a central  
2 repository.

3 and I have heard from my colleagues that if the  
4 Energy Commission takes more responsibility, not  
5 necessarily for the front end, but for the back end, and  
6 the repository, as I understand it, is that idea, that's  
7 you're partnering with the jurisdictions and that's  
8 helpful. That is very helpful.

9 I think at this point, to get greater compliance  
10 and greater efficiency is to just simplify and do not  
11 incorporate new documentation, or new any -- new  
12 regulations at this point.

13 And if we simplify, refine, we'll get better  
14 performance, we'll get better compliance, and I think  
15 you'll have a constituency in not only the regulators,  
16 but then, you know, the professionals out there, the  
17 installers, we'll all work together to get there.

18 Right now, we're still scrambling. And so,  
19 things aren't getting done. And if we can roll back a  
20 little bit and simplify, and work together to simplify  
21 for greater compliance, we'll get there.

22 COMMISSIONER MC ALLISTER: Thanks. So, maybe  
23 either you or Mazi can describe the ACE program. Again,  
24 what it is? I'm not sure everybody knows exactly what  
25 it is.

1           MR. GOODWIN: Well, Mazi, I'll let you get into  
2 the detail. Again, I'm kind of the backstop. And when  
3 I was approached to implement the ACE program, I mean  
4 the fundamentals that these are intelligent forms, that  
5 you can check boxes and it sends you to where you need  
6 to go. And they're user friendly in they ask fairly  
7 simple, technical questions, but in a nontechnical way.

8           So, a user is walked through the process and  
9 then directed to the forms or the protocol that they  
10 need to go to. And on the residential side that works  
11 well. They haven't really developed nonres, because  
12 it's more complicated. But on the residential side,  
13 it's worked well.

14           And there were some kinks and still are kinks.  
15 But it's, again, a program that with a little bit of  
16 training it's understandable. And just on the nonres, I  
17 keep -- I'm knocking it a little bit. But on the nonres  
18 side, I've had side go to nonres training and come back  
19 more confused than when they -- you know, before.

20           And they've said, and it's not just my staff,  
21 I've had colleagues say that they ask questions in  
22 nonres training and the trainer doesn't know how to  
23 answer the question. So, there's just a lot of  
24 confusion out there.

25           And the ACE program, circling back, simplifies

1 the res program, and already understandable program even  
2 more. And I encourage us to go that direction with the  
3 nonres, as well.

4 MR. SHIRAKH: I agree with everything Randy  
5 said. In fact, on what he's saying is the reason why,  
6 you know, we're proposing a division. You know,  
7 simplification is what, I think, we're after, you know,  
8 all of us, in designing very compact and efficient forms  
9 for an electronic universe, you know, that's definitely  
10 a goal we have.

11 And also, again, not holding the responsible  
12 practitioners, professionals responsible throughout the  
13 whole design and construction process. That is  
14 something we need to be pursuing.

15 As far as the ACE, I'm not very familiar with  
16 it, but from your description it sounds a lot like  
17 TurboTax where, you know, you're doing your --

18 MR. GOODWIN: That's a perfect analogy because  
19 that's what they use. That was their approach.

20 MR. SHIRAKH: And there's probably a gazillion  
21 IRS forms, which we're not familiar with. But when you  
22 use that software, you don't need to know the number of  
23 forms. You just answer simple questions and it will  
24 generate the forms that you need.

25 To an extent, our CBEC Res actually is that.

1 You know, it kind of comes close to it. Because when  
2 you do the CBEC Res, it's not asking you about any  
3 specific forms or data fields. You have to model the  
4 building and then it will generate the necessary forms.  
5 And then, once it goes to the registry it will populate  
6 the CF2Rs and 3Rs with some of the data that was  
7 originally inputted into CBEC Res.

8 So, I think that is the concept. And, you know,  
9 we've talked about it in a great deal. It is a resource  
10 commitment on our part but, you know, that's something  
11 we can definitely pursue.

12 COMMISSIONER MC ALLISTER: Okay, great. So, I  
13 think we ought to move on to the next speaker just to  
14 keep things rolling here. But, you know, hopefully,  
15 you're all kind of noting down the issues you want to  
16 dig in more later on.

17 So, Bob Barks, thanks for being here.

18 MR. BARKS: Good afternoon. I approached this  
19 from the compliance perspective. I'm just going to kind  
20 of give some general thoughts, if we could have the next  
21 slide, please.

22 A little bit about me. My name's Bob Barks. I  
23 am from Madera, California. I am a California certified  
24 plans examiner. That's what I do every day. I look at  
25 plans, I look at the documents that are turned in.

1           I am the current Chair of the Western HVAC  
2 Performance Alliance Compliance Committee. I have  
3 chaired approximately 12 meetings in the last year and  
4 every one of them had to do with compliance.

5           COMMISSIONER MC ALLISTER: And I think I was at  
6 one of those along the way, yeah, at least one.

7           MR. BARKS: I am also on the CALBO Energy  
8 Advisory Committee.

9           The next slide, please. I specifically  
10 addressed these questions and I'm sure that everybody's  
11 seen them, they were on the announcement. So, we can  
12 just skip right on to the next one.

13           I need to start with what is compliance? That's  
14 probably the single largest question we have to answer.  
15 There's a lot of misunderstanding out there.

16           If we could have the next slide, please. Over  
17 the past year, in the meetings that I've chaired, and  
18 over seven years of working on a building counter, and a  
19 little over another year working for a private  
20 consultant doing plan review for jurisdictions up and  
21 down the State, basically, there is misunderstanding of  
22 what is compliance out there. Some people think it's  
23 the documents. Some people think that when they get the  
24 jurisdiction to sign off, they're in compliance.

25           Some people just say it's the law. And most

1 people say it's something someone else does. That's  
2 probably the biggest issue that I see having to do with  
3 building compliance in general, and energy compliance  
4 even more so, in the specific.

5           What I see on a regular basis is a situation  
6 where a developer is building a spec building and he has  
7 the mechanical contractor do the mechanical documents,  
8 and the electrical contractor does the electrical  
9 documents. And somebody, somewhere does something about  
10 the envelope. But it's not coordinated. And this is  
11 something that's already on the desk, being reviewed for  
12 a building permit.

13           You know, as Mazi and Randy has said before, we  
14 need to get this started nine months before it gets to  
15 the building desk. You know, building departments don't  
16 have time to be teaching people how to comply with the  
17 energy codes.

18           Mazi is completely correct that, you know, it  
19 needs to be introduced in the early stages. But we need  
20 to get the people coordinated so that they are talking  
21 together. And that's something that just isn't  
22 happening enough.

23           I think, among the people in this room, I could  
24 say we're in the top tier. We have an interest in this  
25 subject and we do our own homework, and we study, and we

1 learn everything we can, and we try to be professional  
2 and apply it as best as we can.

3 But that doesn't always get down to the fellow  
4 putting it in, in the field, or even to the 80-year-old  
5 grandmother that needs an air conditioner replaced and  
6 she has no idea what compliance is. She has no idea  
7 what energy code is.

8 So, we need to do a better job of educating and  
9 we need to get people taking some responsibility and not  
10 saying it's something somebody else does.

11 COMMISSIONER MC ALLISTER: Unpacking that just a  
12 tiny bit. On the existing -- so, I get the new  
13 construction where it's, you know, a lot of gears have  
14 to mesh and there's a longer time frame.

15 I guess on existing buildings, you know, that  
16 grandmother, who are the touch points that code kind of  
17 really -- you know, where are those leverage points  
18 where code really kind of needs to be front and center?  
19 I mean, I imagine the contractor's one of them.

20 MR. BARKS: It's throughout the system. We need  
21 to do a better job of educating. If you're working on a  
22 major project, with large, professional organizations,  
23 they know what to do. You know, they're in contact with  
24 people here and they know what to do. Whether it's  
25 residential, commercial or a retrofit to an existing

1 building, the large, professional operators know what to  
2 do.

3           It's the other 95 percent of the population out  
4 there, you know, contractors, architects, engineers, the  
5 laborers, you know, and the general public that don't  
6 really have a good understanding of this.

7           So, we need to get everybody involved. You  
8 know, there needs to be some push from the bottom, where  
9 people know that there is energy code and know that  
10 there are some expectations of certain levels of  
11 performance, and they need to push the contractors, and  
12 the architects, and the engineers to provide it to them.

13           And we need to work it from the other direction,  
14 as well, to where the professionals are incorporating it  
15 as a holistic package. It's not something that somebody  
16 else does. You know, the mechanical person isn't  
17 talking to the electrical person, who isn't talking to  
18 the person doing the envelope.

19           So, you know, spent a little more time on this  
20 than I intended to. But it needs to not be something  
21 someone else does. You know, it needs to be something  
22 that is more specific.

23           If we could have the next slide, please. So,  
24 what should compliance be? It should be simple. You  
25 know, we've heard that today.

1           It should be specific. It should be measurable  
2 and it should be scalable. By specific, if we're  
3 talking about fenestration -- well, we have standards  
4 for fenestration. You know, there's a coefficient,  
5 there's U-factors, there's VT. We have a standard for  
6 that. Do we need 50 pages to say what that is? You  
7 know, it can be done on a single line, on a single page.  
8 So, you know, specific. This is what we're looking for.

9           It needs to be measurable. Sometimes the  
10 documents we see, you know, where is the measure in  
11 that? How are we actually measuring that in the field?  
12 How are we applying it and making it more than a concept  
13 or a goal? How are we making it measurable that can be  
14 done in the field?

15           And it needs to be scalable. It could be as  
16 simple as one page for some items and, in other cases,  
17 it might be 500 pages. But let's make it scalable to  
18 the project and somehow get it down to those simple  
19 basics that the Energy Commission needs in order to  
20 understand what's going on out there in the world, so  
21 the building officials know that they are looking at the  
22 right items, and that the people building it and  
23 designing it know what to plan for.

24           If we can move on to the next slide, please.  
25 Okay, Mazi's done a very good job of covering all of

1 this, so my comments are really just a summary of what  
2 he's already said.

3           You know, the documents provide a measurable  
4 standard for the energy efficiency of a project. You  
5 know, that is basically what they are there for.

6           As he said, you know, it shows that the  
7 documents -- the documents show that the project was  
8 done to that standard and was somehow measured against  
9 that standard. It's a data mining, it's a database,  
10 it's a place where you can look at this information over  
11 time and see improvement. You can look at this  
12 information and see where improvements might be made.  
13 So, it's a valuable resource for everybody. Not just  
14 the Energy Commission, but everybody in the State to  
15 know that there's a place where you can get information  
16 to help answer some of these questions. So, yes, the  
17 documentation is very important.

18           It provides the property owner some measure of,  
19 you know, what he has purchased. When they do a  
20 project, did they get what they paid for?

21           How can we improve it? Simplify. Get it down  
22 to the absolute minimum.

23           Educate. We need to get the information and the  
24 goals out there to the general public, as well as the  
25 professionals that are doing this work, so that

1 everybody begins to have some understanding of what  
2 we're trying to accomplish.

3           And we need automation tools. We need -- you  
4 know, that has been covered as well, but I think we can  
5 do even more. We need to make this as simple as  
6 possible.

7           The next slide, please. Boy, I'm having trouble  
8 seeing that far. What can we do to reduce the  
9 transactional costs? Reduce the confusion. You know, a  
10 perfect example is this current code. You know, it has  
11 been trying. There has been a lot of confusion. I  
12 spend a lot of time just trying to explain to people  
13 what documents are and how they have to do with their  
14 project, and why they need to turn them into the  
15 building departments that we are working for.

16           There's a lot of confusion and we need to try  
17 and eliminate that. Education would help with that.

18           I'm going to have to pull out my -- I can't see  
19 that far.

20           COMMISSIONER MC ALLISTER: You can go behind the  
21 dais and actually look at the screen back there.

22           MR. BARKS: I've got copies here that I can look  
23 through.

24           COMMISSIONER MC ALLISTER: Oh, great.

25           MR. BARKS: Okay, part of reducing the confusion

1 is, again, be specific, make it measurable. Make it  
2 something that's scalable and that people can  
3 understand.

4 I find professionals that they have a lot of  
5 questions about what these documents are for? How are  
6 they being used? Why do they have to do them? We need  
7 to educate them better. Yeah, the more we can do on  
8 that, the better.

9 We need to start the training on the changes  
10 that may come from the Energy Commission, probably at  
11 the same time that we adopt the code. You know, if we  
12 adopt it in July, we should start the training then.  
13 The training should be ready to go then, so that by the  
14 time people actually have to use it, they have six  
15 months of training already.

16 Because now, they are going to be prepared to  
17 start providing that information that is being asked for  
18 and required.

19 Simplification, get it down to the absolute  
20 minimum. As I said, if you can get it down to a single  
21 page, a summary, that's best. Because as we've heard,  
22 the people inspecting these in the field don't have a  
23 lot of time to spend on it. A lot of the construction  
24 workers, working on it, don't have a lot of time to  
25 spend on trying to make sure that they have the right

1 document or that it is filled out in the proper form.  
2 If we can get it down to the bare minimum, that would be  
3 the greatest assistance to those people out in the field  
4 that are trying to comply with the code, and are  
5 required to comply with the code.

6 Automation tools, you've got some great ones.  
7 The registry is terrific. Let's use it for everything  
8 we can.

9 Do we need paper documents? Other than maybe a  
10 one-page summary that goes to a building department, or  
11 is supposed to, can that registry be used as the  
12 resource that everybody goes to, to see the volume of  
13 information that is associated with that project,  
14 without having to leaf through a lot of papers that get  
15 lost on jobs, and get smudged with coffee. Simple, but  
16 one source that anybody can get to.

17 Multiple actors should be able to work on the  
18 same document. You know, why do we have a mechanical  
19 contractor doing the mechanical documents and the  
20 lighting contractor doing another set of documents, and  
21 they are not merged together in one place? Why can't  
22 they just do it all on one website, or something, where  
23 they can go in and the mechanical contractor can do his  
24 part, and the electrical contractor can do his part, the  
25 architect can go in and do his part? And somehow link

1 those documents so that they follow the project all the  
2 way to completion. So that when you're designing the  
3 project, you have one group of people working on it, and  
4 they do their part. But then, as it goes into  
5 construction, the mechanical contractor could somehow  
6 have his crew chief or his mechanic log into the same  
7 site and put in his installation information, without  
8 having to worry about a bunch of paper.

9           And while I'm on that subject, if we can make it  
10 as simple as possible. You can go online with your  
11 smart phone and order a bed from Amazon, but we can't go  
12 online and fill in the checkbox that says that the water  
13 heater was installed properly. That would go a long  
14 ways to improving compliance by making it easier for  
15 people.

16           And it needs to be multiple platform. Can you  
17 do it on your i-Phone? Can you do it on your i-Pad?  
18 Can you do it on your laptop? Those are things that  
19 would be very valuable to the people that have to create  
20 the project, build the project and comply with the  
21 requirements is if they have multiple platform  
22 availability to do that.

23           The next slide, please. How can we assess  
24 compliance? Mazi's already talked about mining the data  
25 in the registries. That's a very valuable database.

1           But are there other databases out there that  
2 could be mined and used over time? Power usage by city,  
3 or county, or by region? Gas usage, you know, by city,  
4 county and region.

5           Are there other large, publicly available  
6 measures of energy usage that might not necessarily be  
7 energy usage? Economic data, something that would be  
8 representative of what is going on within a region or  
9 within an area that could be somehow mined and measured,  
10 and used to determine what energy usage is, and  
11 especially if it could be done over long periods of  
12 time.

13           If you could go back 5, 10 years and get a trend  
14 line on this, so that you can see what has been  
15 happening for the last 10 years, and then look at what  
16 happens as you introduce codes. Does it change the  
17 curve?

18           If you introduce a measure, does it change what  
19 happens in a specific region. And then, cross-compare  
20 that to the information you might get out of the  
21 registries so that you start getting more granular  
22 information on maybe specific equipment or specific  
23 types of projects.

24           So, mine large databases and use that to begin  
25 creating some decision models as to what compliance is

1 and where it should go.

2 COMMISSIONER MC ALLISTER: Yeah, I'm going to  
3 ask you to speed up just a little bit, Bob, because I  
4 think we're at risk of falling behind.

5 MR. BARKS: I'm very close to the end here.

6 COMMISSIONER MC ALLISTER: Great. Thanks a lot.  
7 These are all great points though, by the way.

8 MR. BARKIS: We do need to provide the  
9 jurisdictions with tools and funding to monitor  
10 compliance on the permitting side. You know, we heard  
11 earlier they don't have the time, and a lot of times  
12 they don't have the money. That needs to be provided.  
13 I don't expect the Energy Commission to do that, but  
14 that needs to enter the conversation.

15 We need to encourage, somehow, those companies  
16 dealing with construction to hire people that are energy  
17 specialists, people that are informed on what the code  
18 requires. You know, all of the resource that you've  
19 done on the code, and the ideas and the concepts that  
20 you've come up with to try and save energy, and how to  
21 incorporate it into the building industry. We need to  
22 get more people into companies that can carry that  
23 standard because they are few and far between, in many  
24 cases.

25 Engineer the complexity out of compliance.

1 Again, that's more of the same. Let's figure out how to  
2 think ahead of the people that are going to have to  
3 incorporate these compliance measures and documents into  
4 a project. And let's try to make it invisible to them  
5 as much as possible, so that they can do it, but it's  
6 not a burden on them.

7           Linking the ownership and the asset value of  
8 buildings to the efficiency is really important because  
9 a lot of times it is not linked. People do not see the  
10 value of improving the energy efficiency. It just  
11 simply comes down to a first cost situation.

12           So that, again, could be an educational element  
13 that could be certainly helped by the Energy Commission.

14           And my last slide is, you know, keep it simple.  
15 You know, don't give people excused not to do it.

16           COMMISSIONER MC ALLISTER: Great, thanks very  
17 much. And I appreciate that. I mean, I guess I see a  
18 lot of different constraints that in some cases, many  
19 cases perhaps, but different ways. You know, you want a  
20 robust database that you can do research on, but you  
21 also want to make it the bare minimum in terms of data  
22 collection. So, there's some tradeoff there,  
23 potentially.

24           But some of your final points, you know, I think  
25 are broader issues that this discussion we're having

1 today fits into, but that we're also think about for --  
2 certainly, for AB 758, but more broadly even just on the  
3 energy policy landscape in general, in the State, and  
4 maybe even across agencies in terms of building the kind  
5 of datasets that allow us to look longitudinally across  
6 the building stock. So, I liked those points.

7 In the issue of time, I'm going to see if we can  
8 move on here. Is Cynthia --

9 MS. BAILEY: She's on WebEx.

10 COMMISSIONER MC ALLISTER: Oh, she's on WebEx.  
11 Okay, great. Great, perfect. So, we'll move on to  
12 Cynthia Moore. Thanks for being with us.

13 MS. MOORE: Hello, this is Cynthia Moore from  
14 the Contractor's Board and I do not have a presentation  
15 today.

16 COMMISSIONER MC ALLISTER: Did you want to say  
17 any comments or just participate in the Q&A or --

18 MS. MOORE: Yeah, I can just participate in the  
19 Q&A.

20 COMMISSIONER MC ALLISTER: I guess, you know,  
21 maybe if I can put you on the spot just for a second?

22 MS. MOORE: Sure.

23 COMMISSIONER MC ALLISTER: Not for long. Yeah,  
24 have you had a chance to tune into the presentation so  
25 far?

1 MS. MOORE: I have.

2 COMMISSIONER MC ALLISTER: So, from the  
3 perspective of, you know, the agency that sort of  
4 oversees and maintains the licenses for the contractors  
5 that are operating in the existing building space, you  
6 know, what's your perspective on sort of where, I don't  
7 know, the pain points are in terms of sort of  
8 marketplace behavior, I guess? And where the -- just  
9 where the weaknesses are in the system in terms of  
10 getting compliance and making sure we know that  
11 compliance is actually happening?

12 MS. MOORE: We are just simply not getting  
13 compliance. We're getting complaint after complaint,  
14 where permits are just not being pulled. And we get so  
15 many different reasons for it.

16 But as soon as we get involved, magically,  
17 they're able to work all of this out and get permits,  
18 and get them finalized.

19 COMMISSIONER MC ALLISTER: And so, what's the --  
20 could you describe sort of a typical scenario, maybe on  
21 a single-family residential building and then maybe, you  
22 know, a medium-commercial upgrade, or something,  
23 respectively?

24 MS. MOORE: Typically, we see a lot of HVAC, of  
25 course. So, typically, on a residential we'll have a

1 complaint come in because of the workmanship issue.  
2 We'll get into the workmanship issue and try to resolve  
3 that, but there's never been a permit pulled and we have  
4 zero compliance for that.

5 And we mention that to the contractor, let them  
6 know that it's going to have to go to the field for an  
7 action against his license and boom, bang, bam there's a  
8 permit, and it's done, and the HERS is done, and they've  
9 got a final.

10 Still got to go to the field because you're  
11 still going to get disciplined for it. But, you know, I  
12 hear over and over, because I'm in lots of different  
13 meetings and lots of different meetings about this same  
14 issue, but the contractors that we're seeing can get  
15 these permits and they can get it done when they're put  
16 to the task.

17 And as far as nonresidential, we don't get a  
18 whole lot of nonresidential complaints. And I would say  
19 the majority of those are -- there's no so many that  
20 have permit issues.

21 COMMISSIONER MC ALLISTER: So, this is more sort  
22 of a consumer issue in your sort of daily experience?

23 MS. MOORE: What do you mean by consumer issue?

24 COMMISSIONER MC ALLISTER: Well, just you hear  
25 from sort of consumers that feel like their job wasn't

1 up to snuff, and start an action against a contractor,  
2 say?

3 MS. MOORE: Yes. We also get complaints from  
4 different industry. We get competitors, we get  
5 different cities and counties that are complaining as  
6 well. The same thing, no permit was pulled or they're  
7 refusing to final it. And once we get involved, all of  
8 the sudden it's not a problem and they can get it done.

9 COMMISSIONER MC ALLISTER: Do you get sort of  
10 the heads up from local jurisdictions who are sort of,  
11 you know, driving the streets in their towns and  
12 seeing -- sort of double checking. You know, they see a  
13 construction project and ask if it has a permit and, lo  
14 and behold, they're talking to you?

15 MS. MOORE: We get some, but I'd like to see a  
16 whole lot more.

17 COMMISSIONER MC ALLISTER: Let's see, and if you  
18 could characterize sort of the scale of this problem? I  
19 mean, you basically say, you know, we have zero  
20 compliance, essentially, with HVAC retrofits. I mean, I  
21 know it's not zero, but it's not great, right, so --

22 MS. MOORE: Yeah, not zero compliance, zero --

23 COMMISSIONER MC ALLISTER: Oh, great, okay.

24 MS. MOORE: Yeah, and that's something  
25 everyone's been trying to nail down. Is it 10 percent,

1 is it 20 percent? There's no way to know because you  
2 don't know how many jobs are out there unpermitted.

3 COMMISSIONER MC ALLISTER: Yeah.

4 MS. MOORE: And there's no way to capture that.

5 COMMISSIONER MC ALLISTER: Yeah, so that's a  
6 conversation that I think we need to have. I'm not sure  
7 if it's today, but it might be, in terms of how we  
8 actually create the database or create the information  
9 that allows us to pin down, you know, where permits are  
10 and are not being pulled.

11 I guess, could you maybe characterize this as  
12 what percentage or what portion of the problem do you  
13 think you actually hear about? Are you just sticking  
14 fingers in the dam or do you feel like you've got, you  
15 know, sort of a significant percentage of noncompliance  
16 you hear about?

17 MS. MOORE: Well, we get a lot of noncompliance.  
18 But as far as how much more is out there and if we're  
19 sticking our finger in the dam, there's really no way to  
20 know. You know, there's been different groups, with  
21 lots of different ideas. And I'm not going to go there,  
22 but there's lots of different ideas on how to find these  
23 out. So, we just really don't know. We don't know how  
24 much is out there, but there's a lot of it.

25 COMMISSIONER MC ALLISTER: And my final

1 question, I really appreciate your letting me grill you  
2 with the 20 questions.

3 MS. MOORE: Sure.

4 COMMISSIONER MC ALLISTER: In terms of your  
5 database of contractors, you know, how -- at any given  
6 moment sort of what -- that contractor, say, that you  
7 have to do disciplinary action on, you know, typically  
8 how long -- do you have to put them on suspension or put  
9 a note, you know, on the database, so that when people  
10 do a search they see that that contractor has issues?  
11 And, you know, a contractor that goes into that status,  
12 how long do they typically last with sort of a  
13 disciplinary status on the database that's public?

14 MS. MOORE: When we do a citation, which is what  
15 you're pretty much talking about --

16 COMMISSIONER MC ALLISTER: Yeah, yeah.

17 MS. MOORE: -- It's at least five years of  
18 disclosure. And it's a minimum of five years. If they  
19 have another citation or disciplinary action within that  
20 five years, the disclosure will continue to the public,  
21 on our website.

22 COMMISSIONER MC ALLISTER: So that from a  
23 programmatic perspective -- I guess, I know you did  
24 those or the CSI program, the Solar Initiative really, I  
25 think, relied on that database to see, to make sure that

1 a contractor was in good stead with CSLB in order to  
2 continue to participate in the program.

3 MS. MOORE: Uh-hum.

4 COMMISSIONER MC ALLISTER: And I guess, you  
5 know, I would assume that you could serve the same role  
6 on -- you know, you actually do kind of serve the same  
7 role for the marketplace on existing building retrofits.

8 MS. MOORE: Absolutely. And it's instant data.  
9 When we enter in a pending citation, or a pending  
10 revocation, or a pending criminal action it's instant,  
11 it goes right to the website. So, it's not a week  
12 backlog or a 48-hour backlog. It goes right into the  
13 website.

14 COMMISSIONER MC ALLISTER: And then, finally,  
15 and then we'll move on to the next speaker, I guess I  
16 wanted to put -- if you could put this particular set of  
17 issues on energy compliance in context with all of the  
18 other stuff that the CSLB does, you know, I imagine this  
19 is -- you know, it's on your radar and you do quite a  
20 bit. But where does this sort of all in the pecking  
21 order of priorities?

22 MS. MOORE: Well, our first priority is consumer  
23 protection, so that's the first thing that we're dealing  
24 with. But as we're dealing with every single one of  
25 these consumer issues we're looking at this, through

1 permitting. Because we don't really have the  
2 jurisdiction that the building departments do to enforce  
3 the code. But we can make sure that they're getting  
4 these permits and if they're not, we discipline them.

5 COMMISSIONER MC ALLISTER: Okay, great.

6 MS. MOORE: And every case we get, we're looking  
7 for that, unless it's an advertisement complaint,  
8 something like that.

9 COMMISSIONER MC ALLISTER: And it sounds like  
10 you --

11 MS. MOORE: But when any work's done, we do --

12 COMMISSIONER MC ALLISTER: It sounds like you  
13 sort of immediately bring in the local jurisdiction, if  
14 they aren't the one that called you in the first place?

15 MS. MOORE: Yes. If we get a case, and we look  
16 at the work, and it looks like it might need a permit,  
17 because we don't always know, we'll call the local  
18 jurisdiction, find out if this work required a permit.  
19 And if so, was it pulled? And we'll take action after  
20 that.

21 COMMISSIONER MC ALLISTER: Okay, great. Okay,  
22 so, I think I've gotten my immediate questions answered,  
23 so thank you very much.

24 MS. MOORE: Sure.

25 COMMISSIONER MC ALLISTER: And look forward to

1 having you on the Q&A and feel free to chime in at that  
2 point.

3 MS. MOORE: Okay, will do.

4 COMMISSIONER MC ALLISTER: Okay, thank you for  
5 being here.

6 MS. MOORE: Sure.

7 COMMISSIONER MC ALLISTER: Let's see, so,  
8 finally is Wes Sullens, from StopWaste. Great.

9 MR. SULLENS: Okay, thanks. I have a couple of  
10 animations, so I don't want to bother you with clicking  
11 through that.

12 So, I'm Wes Sullens. I work at StopWaste.  
13 Here's a little thing about our agency. We're a local  
14 government agency in Alameda County and work on -- I  
15 particularly work on energy and green building policy  
16 areas.

17 So, I'm coming kind of wearing that hat, as well  
18 as the hat of the next slide, which is BayREN. I'm  
19 working on the codes and standards program of BayREN,  
20 which is a public agency, energy-efficiency program made  
21 up of the nine counties in the Bay Area.

22 And we have programs for single-family retrofit,  
23 multi-family codes and standards, and financing.

24 And I guess the difference with BayREN, than  
25 some other programs, is that we are of the local

1 government, doing programs on behalf of local  
2 government.

3           And there's much more on that program, but I  
4 wanted to highlight one of the areas we're working on,  
5 which was getting right at this, the compliance  
6 question. And we issued a report, back in April, that's  
7 called *The Permit Resource Opportunity Program*.

8           This was an investigation of 15 building  
9 departments in the Bay Area. They were self-selecting.  
10 They let us come in and basically shadow them through  
11 the process and see how enforcement was happening. What  
12 was the process? What was the intake process, the field  
13 review, the plans inspection, all those things? And  
14 come up with some ideas on best practices, but also  
15 challenges that are happening.

16           And we've got some results and some of these are  
17 pretty startling, but maybe not, so to a lot of folks in  
18 this room.

19           Based on the metric we used, we saw that only 16  
20 percent of projects were error free throughout the whole  
21 process. And most of those, a big, significant drop in  
22 error rates happened from plan check. So, from original  
23 submittals to plan check we saw the greatest drop off in  
24 errors.

25           And that doesn't necessarily mean the projects

1 were out of compliance. But we did measure and see that  
2 about 51 percent of those projects performed worse than  
3 expected as a result.

4 Now, there's a lot more in this study. There  
5 are, again, some positives. And it was not  
6 statistically significant, but these are just kind of  
7 showing the magnitudes of some of the issues that we  
8 uncovered.

9 Some of the major themes is that there were  
10 incomplete, inaccurate, and conflicting information on  
11 the plans, and then on the compliance documents. That  
12 leads to challenges in the field.

13 There was also lots of issues where the  
14 installed measures were different than what was actually  
15 specified at the permit stage. And then, you'd find  
16 cases where the documentation was missing in the field.

17 So, in kind of thinking this through and also  
18 thinking, Commissioner, about your idea of unpacking  
19 some of these problems, I spent some time looking at  
20 what could be considered the roots of this. And this is  
21 just my own kind of thing, it's not BayREN sanctioned.

22 But I found this slide -- oops, where is it?  
23 Let me go back. It seems to be out of order. But, I'll  
24 start here anyway.

25 There was a study that was done by Jen

1 Rasmussen, in 1997, and it was called *The Drift Toward*  
2 *Danger*. And he talked about these boundaries of  
3 influence of acceptable behavior.

4           So, the first boundary, if I can use my mouse  
5 here, is the cost boundary. And the idea here is that  
6 at some point a company or an organization will just  
7 simply go out of business if they cannot afford to serve  
8 their duties, if they cannot have enough finances to do  
9 the work they're supposed to do.

10           There's another boundary at the skills and  
11 resources side, which is even if you have enough funds  
12 do you have the right people, the right skills, the  
13 right assets in place to do the work that you're  
14 supposed to?

15           And these two forces tend to compete with each  
16 other and push towards the safety or boundary risk of  
17 acceptable safety.

18           And this is where building officials, of course,  
19 are always towing this line of, as we heard earlier,  
20 energy code compared to things like health, fire, life,  
21 safety.

22           And so, it's an interesting way to look at this,  
23 at least I thought. And some of the things here that  
24 are raised are we've got 12 chapters of the building  
25 code that are updated every few years. We've got the

1 energy code, itself, which is complicated. Then we have  
2 things like green codes that come online. And  
3 legislative actions that also happen.

4 Like a recent one was the water reg, so now the  
5 building officials are in charge of outdoor water.  
6 That's a new skill set. So, even if we have enough  
7 money to recover those responsibilities, do we have the  
8 right people in the right seats to verify and enforce  
9 those things?

10 And another way to kind of triangulate this or  
11 to illustrate it, and I think Randy said all this, I'm  
12 just doing it in graphics, is to look at the total  
13 construction spending for the U.S. in the last 10 or 12  
14 years. And we saw that there was this boom of  
15 construction and then followed, quickly, by the economic  
16 downturn, the recession. And we've had a pretty steady,  
17 but slow, recovery since then.

18 And that's all good and fine, but when you look  
19 through the lens of a local government and you see these  
20 code changes happening in these buckets, well, here you  
21 see one that happened right at the peak of the market.  
22 And that meant governments were staffing up for that.  
23 And all of the sudden, by the next one, this was a  
24 pretty steep decline and there were some significant  
25 cuts. Like, as was mentioned, some building departments

1 were eliminated altogether, or outsourced completely.

2           And then at the bottom here, in 2011, that's  
3 when the green building code comes in, which is a whole  
4 new chapter, a whole new section to take a look at.

5           And then we had a six-month delay with the  
6 energy code as things were starting to get back out.

7           But, basically, if this time curve is of the  
8 construction spending, I'd say the local governments'  
9 ability to react to those are a year or two behind, at  
10 best, just at the speed of the way things are going.

11           And that's not true for all, but that's true for  
12 kind of a lot of what at least I've seen.

13           So, enough about the kind of negatives or the  
14 reasons. So, competing priorities require some creative  
15 solutions. And that's something that we're trying to  
16 work with both at StopWaste, locally, and at BayREN with  
17 our codes and standards program.

18           So as you've heard, we need some innovative ways  
19 to measure and assess compliance. There's one  
20 jurisdiction that's smart phone based. There's at least  
21 one. Where you take photos of stuff and send that to  
22 your jurisdiction. That's a way to prove compliance.

23           Electronic, online types of inspection tools  
24 that help prioritize things that are the most important  
25 on the spot, rather than looking at various spot checks.

1           We've even looked at ideas like self-certifying  
2 through qualified contractors. And not something that a  
3 lot of building officials, at least when we looked at,  
4 were enthusiastic about. But that was something to  
5 maybe get around some of the HVAC issues.

6           There's also new models to address the resource  
7 constraints. So, this is something we're doing in  
8 BayREN, and I'll have another slide on it, about this  
9 regional plan check center.

10           But how can we find solutions that augment  
11 resources or that are funded outside of, say, energy  
12 efficiency dollars, or things that can help build upon  
13 those trades that are already on site.

14           So, if you've got a HERS inspector out there,  
15 maybe that's also a good reason to get something, a  
16 third-party, to inspect your outdoor landscapes, now,  
17 and maybe some of the minimum green building standards.  
18 Because those are all things that have to be done by  
19 somebody, and there's places like Green Point Rated, and  
20 other trained raters that are ready and able to do that.

21           And in terms of resources for the local  
22 governments, we can have enhanced training. So, not  
23 just having training, but tailoring it to the  
24 department, going to the department and delivering those  
25 trainings.

1           And then, as we've had actually with Brian, and  
2 others, we take those trainings to those jurisdictions  
3 and actually get projects that have submitted to that  
4 city, and train exactly on what to look for in those  
5 cases.

6           Because it doesn't help if you're a jurisdiction  
7 that deals mostly with single family, to have a big,  
8 long training on multi-family and nonres. So, really  
9 having that type of permits that are pulled most and  
10 training to those.

11           And then streamlining, something we've talked a  
12 lot about, electronic, TurboTax. Outcome-based codes is  
13 another one that's got some interest. And then zero net  
14 energy, and how can you prove that for outcome-based  
15 codes? These are all thing we're interested in looking  
16 at.

17           But then, I'll include with this slide, which is  
18 the Regional Plan Check Program, which is -- it says  
19 concept, but actually in practice now, we just started  
20 it. This is taking place in Contra Costa County. They  
21 are a local government agency that actually oversees and  
22 does plan check for several of their smaller cities, as  
23 well as the unincorporated area.

24           So, they already have this up and running and  
25 we're basically, with the BayREN program, adding in a

1 plan check stage review of the energy plans. And we're  
2 providing experts that come to that regional center and  
3 train the plans examiners, as well as help report on  
4 compliance improvement metrics that we find, to try to  
5 track and get some data on.

6 If we found an error and it was corrected, what  
7 was the result of that?

8 Another piece of this is to conduct stakeholder  
9 engagement. So, once we have this up and running, we're  
10 going to try to find other interested entities, whether  
11 it's other cities, or other counties, and see if there's  
12 a way to expand the program in the next coming years.

13 And the final part of this program is we're  
14 going to issue an RFP. We have a little bit of funds  
15 left to do some enhanced compliance activities. And  
16 it's kind of casting a wide net as to what are some of  
17 these things. Online permitting, plug-in, tablet, i-  
18 Pad-based inspection things, and then doing a  
19 feasibility study for expanding online permit service.

20 So, these are some of the ideas we have, that  
21 we're working on to enhance compliance. That's all I've  
22 got today.

23 COMMISSIONER MC ALLISTER: Great, thanks.  
24 Thanks very much, Wes, really appreciate all the work  
25 you guys are doing.

1           Could you maybe describe outcome-based codes a  
2 little bit? So, I'm not sure everybody knows what those  
3 are and maybe it would be good to get a little  
4 description of that.

5           MR. SULLENS: I'm not sure I know what they are.  
6 The idea that -- well, I guess there's a couple camps.  
7 There's the outcome-based codes as a way to simplify  
8 compliance, and then there's kind of outcome-based codes  
9 as a way to show what we call reach codes, or going  
10 above and beyond minimum energy standards.

11           But the idea being, instead of proving that the  
12 project has met all the prescriptive requirements, or  
13 even performance requirements in the simulation,  
14 actually showing that, once up and running, the building  
15 is actually performing as intended. That's, I think,  
16 the purest form of an outcome-based code.

17           COMMISSIONER MC ALLISTER: Is it another way to  
18 say performance-based code? Or, I guess you're trying  
19 to avoid the word performance?

20           MR. SULLENS: Yeah, it's a loaded word.

21           COMMISSIONER MC ALLISTER: Okay, great. Yeah,  
22 maybe the Q&A staff can chime in on sort of whether  
23 we've thought about that at all. I'm not sure we have.  
24 But it would be a big change and trying to start out  
25 what that really would mean.

1 MR. SULLENS: Yeah.

2 COMMISSIONER MC ALLISTER: And as a way to  
3 figure out whether we actually want to go there or could  
4 go there.

5 Okay, well, thanks a lot, appreciate it.

6 I guess I wanted to see if Matthew Hargrove is  
7 here? I've not seen him today. So, and is he not on  
8 WebEx, we're pretty sure about that?

9 Okay, so I think I'm going to propose to --  
10 hopefully, we're trying to get in touch with him to see  
11 if he's going to be here.

12 But lacking his presence, I think we move on to  
13 Charlie. And let's see, Mr. Selby, are you mostly  
14 residential or commercial?

15 MR. SELBY: Residential and commercial.

16 COMMISSIONER MC ALLISTER: Okay, both. All  
17 right, terrific.

18 And, Mr. Langston, you're  
19 residential/commercial?

20 MR. LANGSTON: Strictly commercial.

21 COMMISSIONER MC ALLISTER: Strictly commercial.  
22 Okay, great. So, maybe we can group you and Matt  
23 together, if and when he shows up, sort of have the  
24 commercial in one place.

25 And then, we maybe pull Jesse forward to group

1 with the residential folks. Just doing a little  
2 shuffling here to try to make things more cogent.

3 So, Charlie. Great, thanks a lot.

4 MR. BACHAND: Hi, I'm Charlie Bachand, Vice-  
5 President of CalcERTS, a HERS provider in California.

6 So, let's go ahead to the next slide, please.  
7 Just a brief overview slide. We've already gone over  
8 this quite a bit.

9 The core questions that we were addressing were  
10 why are compliance documents needed and how can we  
11 simplify or improve the process?

12 So, let's go to the next slide, please. The  
13 problem statement, compliance needs improvement, and the  
14 compliance documents need improvement, and documentation  
15 requirements add costs to ratings. These are all things  
16 that we all agree with, to a large extent, and have  
17 already been covered. So, I'll move on to sort of the  
18 core of my presentation.

19 One more slide, please. Why are compliance  
20 documents required? Mazi covered this in much better  
21 detail than I could. I broke it down into compliance,  
22 accountability and data, all of which we have discussed  
23 already.

24 I would also like to mention, though, by having  
25 compliance, by having accountability, by having data

1 that is how we achieve consumer protection, homeowner  
2 protection. Lacking accountability and lacking  
3 compliance, we know that homeowners are not only  
4 unprotected, but are actively being underserved and  
5 having homes that are not only not energy efficient  
6 enough by today's standards, but are grossly below that  
7 because installations were not performed correctly or  
8 according to the rules of Title 24.

9           The next slide, please. The real problem is not  
10 why do we need compliance documents. I think that  
11 everyone in this room knows why we need them and what  
12 the benefits are.

13           The real problem is that it's so complicated and  
14 so confusing that many people would simply push back on  
15 doing it. Even with the thorough grounding in Title 24,  
16 part 6, stakeholders, such as building departments, can  
17 find the documentation flow to be confusing, at best.  
18 Well-educated energy consultants, or architects,  
19 builders who have been in the industry for a long time  
20 still find the documentation flow confusing.

21           There is a large number of forms. Currently,  
22 there really are too many forms that building officials  
23 are expected to review.

24           Just last week I had a building official, from a  
25 jurisdiction I won't name, e-mail me a very angry

1 message, saying how can you possibly expect there to be  
2 energy efficiency in California when you have to kill so  
3 many trees just to get the forms done, to drop them on  
4 somebody else's desk so that he can then throw away all  
5 of those forms that he doesn't need. And we get that  
6 kind of regularly from building departments, and from  
7 contractors, and from everyone.

8 Compliance documentation in this process can be  
9 improved, though.

10 The next slide, please. There already is an  
11 existing solution, maybe a partial solution you might  
12 call it, and that's called the project status report.  
13 This is a link to the CalCERTS registry. And this  
14 page -- the project status report, the purpose of the  
15 project status report is for building department  
16 officials to be able to log into their registry, using a  
17 registration that they already have from a CF1R, and at  
18 a glance be able to see whether or not the project has  
19 truly met all of the HERS requirements.

20 So, this screen shot is a bit small. This page  
21 actually extends quite a bit longer. But you can see  
22 the details of this page right here, address, permit  
23 number, information. But most importantly, as we go  
24 down towards the bottom, we see, ah, there was an  
25 additional CF1R form required and it was registered.

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 There's the registration number, if you're interested.  
2 The light is green. That means that that form has been  
3 completed, signed off, paid for, it's ready for review.

4 We've got the 2R information, the same exact  
5 thing. Every single document that's in the registry and  
6 the registry, by the way, knows what is required, as  
7 Mazi said earlier, because of the extensive schemas that  
8 were developed for the 2013 forms. The 1R informs the  
9 2R, the 2R informs the 3Rs. So, we know which forms are  
10 required.

11 And here we see the MECHA-1 and the ENV-01 for  
12 contractors. Those have evidently filled out, the  
13 lights are green, good to go.

14 In principle, and I didn't have enough space on  
15 this page to show all the 3Rs, as well. But in  
16 principle, the building department officials should be  
17 able to log into this page and just at a glance, if it's  
18 all green, it's ready to go. If there's any red lights,  
19 there's a problem.

20 If the building department officials want to  
21 review an actual PDF, they can do so. Note the arrow.  
22 If they want to see individual forms, to see the actual  
23 test data for whatever reason, they can download those  
24 as well.

25 So, in a nutshell, this is meant to solve a lot

1 of the problems that people are reporting already.  
2 Particularly, for building department officials who have  
3 so many stacks of paper that they need to go through.

4 Now, this option has been available since late  
5 July and we've been tracking use of project status  
6 report in the registry. And, unfortunately, it's been a  
7 little under-whelming. We suspect that there are still  
8 very many building departments that are unaware of this,  
9 or are uncertain about how and when to use it, are  
10 uncertain about whether or not it's simply a service  
11 that we, as HERS providers are offering, of it's truly  
12 an Energy Commission approved page. Which in fact it  
13 is. There were extensive rules written about this and  
14 joint appendices in the 2013 code.

15 And when we do have building departments logging  
16 in and using this page, sometimes they log in once or  
17 twice, and then don't return.

18 It's one of my great hopes that by showing up  
19 today and discussion this issue, we'll hear from a lot  
20 more building departments in the near future. Because I  
21 genuinely feel that this would be a large step forward  
22 towards simplifying their existing process. But that's  
23 just what we have. We can do more.

24 The next slide, please. So, we're proposing  
25 that there be a CF3R final or, as Mazi called it, a CF3R

1 summary sheet, I believe. And the name doesn't matter.  
2 The idea is that this form -- and by the way, this PDF  
3 that I'm demonstrating on this page is the one that I  
4 had the arrow pointed to on the previous slide.

5           This, I think, is the other half of streamlining  
6 the documentation process. The idea is that this is a  
7 one-page PDF that is generated by a HERS providing  
8 registry, when and only when the project is complete in  
9 the sense that all of the measures for Title 24 have  
10 been met, and complied with, and signed off on, et  
11 cetera.

12           So, this would be a single piece of paper that  
13 would be handed to building department officials, or  
14 homeowners, contractors, whomever else might be  
15 interested. This single piece of paper, arguably would  
16 list all of the forms and all of the registration  
17 numbers on it that the building department officials  
18 might be interested in. Or, in the interest of saving  
19 space, it might just have one number on it that  
20 officials, or homeowners, or whomever else uses to log  
21 into the appropriate registry and see all of that  
22 information, again.

23           Next slide, please. So with that idea in  
24 mind -- oh, and I did forget to mention one thing.  
25 Those PDFs can also be released electronically and

1 probably they should be, e-mailed to building  
2 departments or homeowners, instead of being printed out  
3 on paper.

4           Some people don't know and are very concerned  
5 about the idea of whether or not these documents can be  
6 gamed. Under the 2013 standards, all of the PDFs that  
7 we generate are digitally signed so that there's a way  
8 for building departments to verify whether or not the  
9 document they're receiving is actually authentic or not.

10           So, to continue with this slide. I don't  
11 purport to have all the answers to all of the questions.  
12 I don't know all of the different needs that might be  
13 met by this form. So, there are some questions that I  
14 think are still open and that CalCERTS would be happy to  
15 workshop with stakeholders or with the Energy  
16 Commission.

17           For example, should there be test data or  
18 registration numbers on the CF3R final or should it just  
19 be a very short PDF that says this address is complete.  
20 And if you want to know more, type in this identifying  
21 number into the HERS registry.

22           Should the signatures of responsible parties be  
23 listed? That's an open question to me. There could be  
24 easily 10 or 15 different documentation authors and  
25 responsible parties involved with a project. Different

1 contractors, builders, energy consultants and, of  
2 course, raters. So, that might be way too much  
3 additional information and it might increase the page  
4 count from one to three, et cetera.

5 Another important question, would building  
6 departments be interested in automatic notification of  
7 when a project was complete? To me, this is a very  
8 simple, yes, of course. And as a provider, it would be  
9 very easy for us to provide this information. Of  
10 course, we'd be concerned about bombarding building  
11 departments with too much information at once or filling  
12 up their mailbox with a lot of forms. So, again, that's  
13 a question that needs to be workshopped.

14 Between the project status report and the CF3R  
15 summary sheet or CF3R final, I think that we have the  
16 backend solution that Mr. Goodwin was talking about  
17 earlier. It just so happens that our website is already  
18 multi-platform, in the sense that it can be accessed  
19 from i-Phone, or your tablet, or your computer. So,  
20 this really should be accessible to both people in the  
21 office and people in the field.

22 Next slide, please. Stepping away from that  
23 proposal for just a second, I did want to take one slide  
24 to quickly talk about the other major complaint that we,  
25 as providers, receive. And that complaint is the

1 absence of signature authority.

2           Now, I've got a typo in my next bullet point. I  
3 say this should be incorporated in the 2016 standards.  
4 Well, it is incorporated into the 2016 standards, which  
5 is great.

6           What this does, this addresses serious problems  
7 for builders and contractors. By letting contractors  
8 assign signature responsibility to raters in the  
9 registry. Because what's happening in the field, we're  
10 finding out, is that contractors who are -- who are  
11 bothering to comply, in the first place, typically do  
12 have the test equipment and the knowledge to perform the  
13 field diagnostics, and to try verify, themselves,  
14 whether or not their installation is already Title 24  
15 compliant.

16           What they don't have the time or the interest in  
17 doing is hiring data entry personnel to type all of that  
18 information into a database. To resolve that problem,  
19 in 2008 and in 2016 standards, they can simply give all  
20 of that information to the raters and the raters can  
21 enter that information into the registry.

22           For contractors, that's great because they  
23 simply have to perform the tests and they don't have to  
24 be aware of all of the registry requirements, and how to  
25 log in, how to navigate, et cetera. And there's a

1 certain percentage of contractors out there that don't  
2 even want to use a computer.

3 So, providing them with signature authority is a  
4 great way to close the loop on documentation, make sure  
5 that everything's in the registry and, also, put the  
6 bare minimum requirements necessary on the contractors  
7 to be Title 24 compliant, without being burdensome.

8 And so, we would encourage Energy Commission to  
9 consider sort of reactivating signature authority for  
10 the remaining -- for the remainder of this code cycle,  
11 if it's possible. And it's not necessarily an easy  
12 lift. It needs to be subject to legal review. It would  
13 require a rulemaking, possibly, et cetera. But I think  
14 it's another way to address the streamlining problem,  
15 from stakeholders that we may not have heard from too  
16 much today, and those are contractors.

17 So, next slide, please. So next steps, assuming  
18 that this is something that finds, you know, support  
19 with the Commission, programming of the CF3R final could  
20 easily be completed by the end of the year.

21 I, of course, have to be very careful about  
22 speaking for the other providers, because there are  
23 other providers in California and I don't represent them  
24 all.

25 But the project status report was a requirement

1 that was placed on all HERS providers that were approved  
2 for 2013 standards. And that's the core of what we're  
3 talking about here.

4 So, development of this should be a fairly  
5 straight forward task for all the providers. And,  
6 furthermore, development of it should be a straight  
7 forward task for the Energy Commission because they've  
8 already laid their own groundwork for this, as well.

9 Assuming that we were to go forward with this,  
10 CalCERTS would be extremely happy to partner with any of  
11 the building departments that are even remotely  
12 interested out there to pilot this to test it.

13 And in general, we are very interested in  
14 receiving feedback from building departments that have  
15 used our project status report, or that haven't used it,  
16 and have some reason to communicate with us about why  
17 they haven't and what we can do to simplify that report  
18 even further, or make it easy to access, et cetera.

19 So, next slide, please. Conclusion. I've  
20 spoken very fast today. I hope that's not too bad.  
21 Mazi already stole a lot of my thunder.

22 The 2013 documentation requirements have been  
23 met. Implementation could be much improved. And we  
24 know that improved implementation will lead to improved  
25 compliance because we know that a large part of the

1 pushback on this is not that people are unwilling to  
2 comply, it's that they don't know how to comply or they  
3 find it too burdensome.

4           And I'll just stress one last time, compliance  
5 documents provide much needed data and information to  
6 the Energy Commission and to all the other stakeholders  
7 that are out here. We should never consider removing  
8 that requirement. We should simply consider what we can  
9 do to aggressively simplify and streamline the  
10 documentation process.

11           So that's it. That was a short presentation.  
12 Any questions or anything?

13           COMMISSIONER MC ALLISTER: Great, thanks.  
14 Thanks, Charlie.

15           Yeah, I guess it seems like there are, you know,  
16 a number of things going on in the marketplace. And I'm  
17 going to go ahead and ask this, even though I'll  
18 probably wait to the end, and others, the final  
19 presenters can maybe chime in on this, as well.

20           But, you know, part of it is the hassle factor  
21 and kind of, you know, the complexity, and some of the  
22 things we've brought up. And I'd say those certainly  
23 apply to people who, in good faith, want to do the right  
24 thing and are giving it their best shot. And then  
25 they're, you know, sort of going through the steps and

1 identifying places where it makes life difficult, or  
2 places where things are easy, and it's great to hear  
3 about that, too.

4 I guess, you know, it seems like there's this  
5 issue where, you know, I've heard this many times, okay,  
6 just residential HVAC retrofit. You know, your  
7 contractor comes, they're a fully licensed contractor,  
8 and you ask them for a quote. And it's sort of like,  
9 okay, well, here's the price with a permit and here's  
10 the price without a permit, and there's a significant  
11 difference between the two.

12 And, of course, the contractor's like, well,  
13 I'll install the same either way, right. You know, I'm  
14 not going to opine about whether that's really the case  
15 or, you know, what the sort of gaming or positioning  
16 might be, but just face value. You know, if I'm a  
17 homeowner, and my contractor's telling me that, and I'm  
18 inclined to trust them, you know, what's my response  
19 going to be?

20 And I guess it's really there are a lot of  
21 things to unpack there but, you know, partly it's for  
22 the good faith contractor, we want to make it as easy as  
23 possible for them to get through the process, right.

24 For the others, and I don't know what percentage  
25 is in each camp, it's probably a continuum, I'm sure.

1 But for the others, you know, we need more of a stick  
2 approach.

3 And so, I guess where is the balance on that in  
4 terms of the transaction costs? You know, how low --  
5 how can we get the transaction costs to be down such  
6 that the good guys want to and can do the right thing?

7 And then, you know, the flip side of that is,  
8 well, what's our enforcement? What's the stick? What's  
9 the local building department going to do to hold  
10 accountable? How do we create a system where the flag  
11 goes up when we're not getting a permit or when we're  
12 not getting compliance?

13 So, there's really two sides of the same coin  
14 here and I absolutely want to find places where we can  
15 make it simpler and, you know, as straight forward as  
16 possible for the good guys to comply. Right, that's a  
17 basic requirement.

18 And once we can show that we've done that,  
19 right, and we get compliance up to, you know, a  
20 reasonable level, then I think it becomes much easier,  
21 we have a much better case that we can go out there and  
22 say, look, it's not that hard. You know, we've got a  
23 stick that we're going to use.

24 So, you know, I'd be interested in folks'  
25 opinion about is that -- I want to back up and, you

1 know, I recognize you got a comment from one of your  
2 building officials, you know, and there's tons of  
3 paperwork and it's a big problem and everything. But,  
4 you know, we've got to distinguish informed opinion from  
5 whining. You know, everybody's opinion is not equal  
6 here.

7           The well-informed opinion that's based on  
8 reality, and that comes with data, is the one that we're  
9 going to listen to more, right. You know, there's a lot  
10 of people who think the government, just every  
11 interaction with the government is just kind of  
12 shouldn't happen. And I just do not believe that,  
13 obviously, right, fundamentally.

14           You know, in my experience, the local building  
15 officials, the local city government, they want to help.  
16 They want to do the right thing. They are concerned  
17 about their constituency and we need to help them.  
18 Right, we need to help and they lack resources. I mean,  
19 we heard Randy and others.

20           So, you know, I definitely do not buy into the  
21 just sort of -- you know, the sort of low touch  
22 approach. I think we need this to get quality  
23 installations.

24           You know, I think in general government really  
25 wants to help its building stock be as good as it can

1 be.

2           So, in any case, that's sort of, I guess, an  
3 admonishment or a recommendation that, look, you know,  
4 we really want opinions that are not knee jerk, but  
5 really well informed and based on experience.

6           So, but we do have an issue. I mean, we do have  
7 this difference, sort of this transaction cost issue.  
8 And, you know, lots of different opinions about it. But  
9 I think it is an issue that we need to sort of figure  
10 out. And that's kind of why, one of the reasons we're  
11 here today.

12           So, you know, I guess I'd be interested in sort  
13 of folks' ideas, you know, given that we have a process  
14 to open a permit, interact with the building department,  
15 get compliance, get the building official -- you know,  
16 get the HERS rater in there, if that's needed, get the  
17 building official to sign off on the permit. That  
18 process takes some resources. And sort of figuring out  
19 where, how we can help, maybe it's electronic tools.  
20 You know, I don't know whether building departments are  
21 really ready for that or not.

22           Certainly, really like what you're saying about  
23 the, you know, and what others have said about having  
24 open access to forms so that others can chime in at the  
25 right moment. Sort of like a property transaction when

1 you buy and sell a property. You know, I mean it is  
2 kind of similar in some ways.

3 So, anyway, creative thought about how we could  
4 do that. I mean, you know, different paths we've been  
5 talking about today result in vastly different resources  
6 requirements for the Commission, potentially, so I want  
7 to be very cognizant of that, as well. And, certainly,  
8 staff knows that way better than I do.

9 So, I don't want to sort of commit to doing any  
10 of the above at the moment, until we can kind of figure  
11 out what it really entails in practice.

12 In any case, I guess what I'm hopeful is that  
13 some of these electronic approaches and new approaches  
14 that make the system sort of more streamlined and more  
15 flexible for compliance, we can put into place. So, I  
16 guess there's really no question there.

17 But I want to just key off on some of the stuff  
18 that you said about the process. Because I think that  
19 really is what we hear, the getting through this process  
20 takes some effort and some resources, and we want to try  
21 to get that to be as small as we can.

22 Okay, so let's see, maybe we should -- Jesse  
23 Fulton, maybe we should pull you up to be next, sort of  
24 to build on the -- you know, we're having pretty much a  
25 residential conversation so far.

1           And then we can go to Mr. Selby and Mr.  
2 Langston. And then, if Matt Hargrove shows up, we can  
3 put him in at the last.

4           MR. FULTON: All right, thank you. So my name  
5 is Jesse Fulton. I'm a Product Manager with an  
6 organization called Renovate America. We're the program  
7 administrator for a PACE financing program operating  
8 throughout the State of California, called the HERO  
9 program.

10           The HERO program's available in 326 communities  
11 throughout the State of California. We've financed  
12 about 38,000 residential projects over the last couple  
13 of years, so definitely had some business going. And  
14 represent about, a little shy of 2,000 participating  
15 contractors in our listed network there.

16           So, we have a lot of contractors who are using  
17 our product out there in the field.

18           I kind of serve as a unique approach and maybe  
19 can summarize a lot of what's been spoken about here in  
20 the field from more of a private, or a public/private  
21 partnership perspective.

22           I think we're kind of a unique case study in  
23 that we have privatized building standards. I don't  
24 really know if many folks are out there doing that. But  
25 from our perspective, PACE financing has been enabled

1 under California legislation to finance energy  
2 efficiency, renewable energy and water efficiency  
3 products.

4           So, from our perspective, it's in our credo to  
5 go out there and set standards for every product that we  
6 finance. Not only from a program, kind of legislative  
7 guideline compliance perspective but also, under our  
8 consumer protection policies, we want to be assuring  
9 that every consumer that's using a HERO financing  
10 product is getting an energy efficient product, water  
11 efficiency product, or renewable energy product that  
12 meets some level of standard there.

13           So, I'm here today to kind of provide some  
14 insights about our approach. I think our approach  
15 aligns with a lot of the best practices that have been  
16 talked about here, as far as taking a technology-based  
17 approach to doing that. And I'll provide a couple of  
18 insights into some of the things that have worked best  
19 for us.

20           So, some of our key drivers here. The first is  
21 having clear, and concise, and consistent requirements  
22 that we're publishing out there for our contractors to  
23 comply with.

24           We do that with a number of things, and I'll  
25 talk about a few of those a little bit later on. But

1 having that clear basis of understanding, so that all  
2 contractors using our product, out there in the field,  
3 kind of know what's the level playing field that they're  
4 working on. That provides us with a lot of operational  
5 efficiencies, but also provides us with kind of the  
6 trust factor that we have, as the program administrator,  
7 that when we're publishing something out there that they  
8 can clearly understand, and that they know how to comply  
9 with the requirements that we're putting out there in  
10 the market.

11           The second is a streamlined operation process.  
12 So, when somebody's using our financing product, we kind  
13 of have -- we work under this operational agreement that  
14 in order for a contractor to kind of partner with our  
15 program and use our financing product to serve their  
16 customers, but also for customers to use our financing  
17 product to finance the energy efficiency, renewable  
18 energy or water efficiency products out there, they want  
19 that process to be streamlined so that it's not undue  
20 timelines. If they have a product in mind or a project  
21 in mind, they'd like to go through our financing process  
22 so that it's not creating undue burden.

23           We do everything as much as we can to kind of  
24 maintain that balance between the components and the  
25 process steps that we have within our process that keeps

1 us compliant within our own regulations, but also  
2 maintain the operational efficiency that our customers  
3 are looking for out there in the field.

4           And, ultimately, this all boils down to a  
5 balanced experience between the program participation,  
6 and similar to what Commissioner McAllister was talking  
7 about just a second ago, kind of finding that balance  
8 between the transactional costs, so that we're providing  
9 as much benefit back, or finding kind of the trigger  
10 points where we can have that balanced experience.  
11 Where someone is willing to comply with regulations,  
12 willing to comply with standards, and at the same time  
13 is getting some benefit back and not carrying undue  
14 transactional costs through their own business  
15 practices.

16           So, within our product standards we publish out  
17 an eligible product list. This is part of that clear  
18 and concise presentation of information. We want our  
19 requirements to be clear to all users within our  
20 program.

21           So, this product list, we offer over 62 eligible  
22 products, ranging from toilets and urinals, all the way  
23 up to solar panels and inverters. And that range is a  
24 very broad spectrum through that.

25           Each one of our products, on our eligible

1 product list, has prescriptive eligibility requirements,  
2 a finance term, minimum performance specifications, and  
3 many of the products also require third-party  
4 certification that goes along as part of that.

5           This is a 10-page document. It's 60 products on  
6 10 pages. You can kind of do the math, as compared to  
7 some of the published standards that we have. That we  
8 feel that that's kind of the concise presentation of  
9 information.

10           They're all written in pretty plain English,  
11 with the intent that we're really looking to maximize  
12 the user experience and really craft the way that we're  
13 presenting information based on who we intend to read  
14 that information.

15           We publish product call-in specifications. And  
16 I'll talk about a little bit of our process steps here,  
17 in a second. But our protocol and specifications  
18 clearly represent the information that we need to be  
19 provided in order to get that product assigned to a  
20 funding request within our financing pipeline.

21           So that when a contractor's getting on the  
22 phone, if they know they're selling an HVAC system or  
23 spec'ing that out to the customer, what they can do is  
24 get on the phone with us, provide us with one H or I  
25 reference number, part of the system that I'll talk a

1 little bit about later.

2 I'll talk about the duct system insulation that  
3 they're installing. You know, we key that into our  
4 product system and assign that into their funding  
5 request.

6 That provides transactional efficiency so  
7 they're not spending 10 minutes on the phone, they're  
8 spending more like 10 or 15 seconds on the phone to get  
9 that product set up on their system.

10 And finally, with the funding requirements  
11 checklist, again with the compliance here, we want to  
12 make sure that all our standards are complied with. So,  
13 we have a system that automatically triggers certain  
14 funding requirements that must be complied with,  
15 depending on the product that was called in through our  
16 data system.

17 That funding requirement actually triggers into  
18 a portal that all of our participating contractors have,  
19 so they can actually see, by the time they get finished  
20 with that product, they'll know exactly what they need  
21 to check off in order to comply with our standards.

22 So, our process. I'll talk a little bit about  
23 our financing process, which will provide you a bit of  
24 perspective on kind of what we're looking at here.

25 Our financing approval, I won't get into too

1 much of the details about how people actually become  
2 eligible for HERO financing. But once they're eligible,  
3 typically that transaction is between a contractor and a  
4 customer, a properly participating contractor through  
5 our program.

6           Once they have an approval and they've decided  
7 on a project scope of work they'd like to do, they'll go  
8 ahead and call in. We have a service center, HERO  
9 hotline is open seven days a week. I think on weekdays  
10 it's 7:00 in the morning until 10:00 at night. Weekends  
11 have shorter hours, but are still available when  
12 contractors are doing business.

13           As a part of that product call in, I talked  
14 about the information that's being provided, the  
15 contractors are aware of. They're specifying each and  
16 every product that's included in the scope of work that  
17 we're financing.

18           That product call-in information is actually  
19 pulling from a pretty robust database on the back end,  
20 that we've configured, that actually allows us to  
21 operationalize or gain some efficiencies out of that  
22 product call-in process. So that every product that  
23 they're assigning to our funding request, through their  
24 scope of work, has been pre-filtered based on the  
25 eligibility criteria that we have set up on our eligible

1 product list.

2           That then provides us with assurance that each  
3 and every skew that's included, we have everything down  
4 from make and model number, to the performance  
5 specifications that go along with that product. Or, if  
6 they're calling in an insulation or window and door  
7 product, each and every one of those are pre-filtered.  
8 So that if they're trying to call something in that  
9 doesn't meet our specifications, the call center agent  
10 is then prompted to provide the contractor with the  
11 information to say, you know, this window needs to have  
12 a little bit lower U factor, a solar heat gain  
13 coefficient, and they'll adjust their scope of work,  
14 accordingly. Or else they wouldn't be able to provide  
15 or to add that product to our funding request at that  
16 point.

17           Once that product call-in has been completed and  
18 they've finished, they've kind of finalized the scope of  
19 work on the specific products they're including, they  
20 generate a set of documents, including a completion  
21 certification, to which the product details of the  
22 project scope of work are actually printed directly on  
23 there, as well as the funding requirements that will be  
24 required at project completion.

25           When they do complete their work, we usually

1 give them about 110 days to 135 days depending on the  
2 nature of work that they're doing. Once they've  
3 completed that, again we have an automated process, an  
4 electronic submission process where they're going  
5 through, both the property owner and the contractor, are  
6 signing a completion certificate, which verifies that  
7 all of the products that were called in, in the initial  
8 product call-in, were completed to the satisfaction of  
9 the property owner. The contractor verifies that they  
10 pulled all the necessary permits.

11 We actually require some of the pulled permits  
12 to be attached, along with the submission of our  
13 completion certification. And they submit that, along  
14 with an invoice for the product or for the project scope  
15 of work.

16 All electronically and all done through a portal  
17 that we provide to our eligible or to our participating  
18 contractors.

19 Our funding department then reviews that within  
20 a 24- to 48-hour timeline, and then gets the money out  
21 the door to our participating contractor networks.

22 And that's kind of a key piece there, that short  
23 turnaround time on the financing. Our financing really  
24 is kind of the -- I guess, it would be kind of the  
25 carrot end stick for compliance, so that's kind of a

1 unique position that we're in. We get a little bit  
2 higher compliance rates in that we do hold funding until  
3 they've verified that they have complied with all the  
4 standards and requirement documentation that we have set  
5 up in the process.

6           So, a lot of that is performed through an in-  
7 house technology platform. I manage a product  
8 development team that focuses primarily on the eligible  
9 products section, so that product catalogue piece that I  
10 was talking about earlier. A product database is  
11 something that we manage.

12           This is very similar to that TurboTax style. We  
13 actually have a lot of people at Intuit that work for  
14 us, so that's very near and dear to our hearts.

15           And managing that customer experience for the  
16 property owners that are using our financing platform,  
17 the contractors that are participating in our network,  
18 but also the municipalities that we're partnering with  
19 to make the HERO program available is all  
20 operationalized through a technology platform that  
21 allows us to gain those process efficiencies.

22           So, this product database that we're talking  
23 about, over the 60 eligible products, there's 62 product  
24 types. We acquire product data from 15 third-party data  
25 sources, all certified data sources that we're

1 aggregating. That aggregates up to a little over 1.3  
2 million product records that we're maintaining in there,  
3 on a product SKU basis, all with efficiency attributes  
4 and things that we need to verify compliance with the  
5 standards that we've set up.

6           And all of that's updated on a daily basis. We  
7 used to do it on a weekly basis. But in order to  
8 maintain alignment with the third-party data sources  
9 that are out there, updating their products on an  
10 ongoing basis, we wanted to make sure that we always  
11 were up to date with each and every model that meets our  
12 eligibility criteria. So, we're updating that on a  
13 daily basis.

14           So that when a contractor -- this is kind of the  
15 service level agreement that we have, when a contractor  
16 does their due diligence to go out there and find a  
17 product that meets our specifications, we're ensuring  
18 that when they call that product in it's in our system  
19 and there's no undue time trying to figure out whether  
20 the product does or does not meet our specifications.

21           Finally, the platform that I talked about, that  
22 the contractors are utilizing to do this, this  
23 electronic document management system, we have an e-sign  
24 platform in here, where they can go through, manage all  
25 of their documentation, manage signatures, manage

1 submittals. But also, get notifications on what needs  
2 to be submitted depending on what stage their financing  
3 project is at in our financing pipeline is all managed  
4 through our HERO Pro platform.

5 And that's pretty much the case study or a  
6 little bit of a real-life application of a lot of the  
7 standards' operational efficiencies that we've spoken  
8 about today. We're kind of putting some of those things  
9 into play in the HERO program.

10 COMMISSIONER MC ALLISTER: Thanks very much,  
11 Jesse. So, I guess my main interest here, there's a ton  
12 of interesting stuff here and, you know, certainly the  
13 PACE discussion is a big one that we could probably  
14 spend the rest of the day and more on. And, really, the  
15 fact that it's kind of catching fire a little bit in  
16 California I think is great for mobilizing the  
17 marketplace.

18 You know, with the caveat that we really need --  
19 if we're going to sort of have quick financing across  
20 the kitchen table, it's got to be done in a way that has  
21 consumer protections built in, right, which has not  
22 always been the case with, really, any service that  
23 folks get in their home, right. Or at least it's sort  
24 of there's a buyer beware kind of mentality.

25 So, what I was very interested in, and the

1 reason that I'm gratified that you're here, is to talk  
2 about, really, the fact that, you know, you're getting  
3 some scale, you're getting tens of thousands of  
4 projects. And where a permit is required, you don't  
5 give them their money unless they open and close the  
6 permit, right. They've got to finish, they've got to do  
7 it by the book for that local jurisdiction.

8           And so, maybe you could talk a little bit more  
9 about that and sort of how, you know, I'm presuming that  
10 you're building sort of a database about -- to make it  
11 easy, and you've got all that information about each  
12 jurisdiction, and what has to be done, and sort of the  
13 contractor -- helping the contractor navigate, in any  
14 given place, what that really looks like for them.

15           But I think the idea that you have -- you know,  
16 you get all the public benefit of compliance, we've  
17 talked about fire, health, safety and energy, in sync  
18 with the sales process in a private market. I think is  
19 a really intriguing idea. And particularly if it can  
20 scale and can, in a lot of ways, allow projects to  
21 happen that may not have even happened otherwise.

22           So, that gets to all the goals that we want as a  
23 State. You know, it scales up the existing building  
24 retrofits and it does so in a way that, you know,  
25 hopefully, and I think you've made a lot of progress on

1 this, builds in the consumer protections that we're  
2 looking for and gets code compliance, gets permitting.

3           So, maybe that system, you know, you could talk  
4 about the customer experience, sort of what they see,  
5 and how it all wraps up with a bow so that they can see  
6 something that is good for them, that they want to buy  
7 into.

8           MR. FULTON: Right. Yeah, so from a -- one  
9 point of clarification that I do want to make, I don't  
10 want to misrepresent some of our specifications. We do  
11 have permitting requirements for the majority of our  
12 broad categories, HVAC, roofing, windows and doors,  
13 water heating, solar.

14           So, when a permit is required, we usually  
15 require the initial permit. It's not always the case  
16 that we're requiring the final or closed out permit.

17           And it actually brings up a good point of kind  
18 of that balance, that balanced approach or balanced  
19 experience that we're speaking about. Early on in our  
20 program, we actually did require closed permits for the  
21 majority of our product types.

22           One of the things that we were constrained by  
23 was balancing the experience that a contractor has out  
24 there, when they're trying to operationalize a business,  
25 trying to make money out there in the field. And that's

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 primarily one of the reasons that they're attracted to a  
2 financing product.

3           It's not always the case that when we're holding  
4 their cash flow back, that they can actually maintain a  
5 business when they're trying to, you know, make payroll  
6 that week. And a building department, you know, we  
7 talked about some of the shortcomings of some of the  
8 building departments in terms of staffing. We weren't  
9 always getting the timelines to sync out so that a  
10 contractor could hold cash flow in order to get a closed  
11 out permit. Waiting three weeks for a roofing permit to  
12 be closed out isn't always the case.

13           And we didn't feel, from our perspective, that  
14 that was a balanced experience, kind of holding a  
15 contractor's money so they were kind of at the behest of  
16 understaffing.

17           But that being said, we still do require the  
18 initial permits and have it stated so that the  
19 contractors are definitely required to close those out  
20 on their own time. And many are -- each and every one  
21 of our contractors do pull that initial permit and we  
22 don't really have transparency on how many are actually  
23 being closed out on their end.

24           COMMISSIONER MC ALLISTER: Yeah, okay. Is that  
25 something that you could follow up on or maybe, you

1 know, have that -- to the extent that the local building  
2 departments, it's sort of in their court if they've got  
3 an open permit, and what that looks like to get it  
4 closed out?

5 I mean, is there any effort to sort of circle  
6 back with them after the transaction is said and done to  
7 see whether that got closed out?

8 MR. FULTON: I certainly think there are  
9 opportunities for partnerships along those lines.  
10 Speaking about some of the data mining that we were  
11 talking about, that database that we maintain is a  
12 pretty neat thing in that we do have the data mining  
13 capabilities. Each and every one of those 38,000 funded  
14 projects is made up of, you know, a combination of  
15 different products and different product attributes.

16 So, when we're talking about going out there and  
17 finding all of the windows that are Energy Star  
18 certified, or the average SEER of an air conditioner  
19 that's being installed in a California home, we've got a  
20 great sample.

21 I can pull that up right now on my data query.  
22 So, it's a pretty real life example of some of the  
23 things that we're kind of looking forward to through  
24 some of the document compliance management systems, and  
25 the ACE system that's been set up.

1           So, I certainly think the types of systems that  
2 are being designed here and a lot of the approaches that  
3 are being talked about today are right in line, and  
4 they've worked for us. So, I think we can kind of serve  
5 as a good case study example of -- for the State, if  
6 that's the direction that it's going. It certainly  
7 works in a smaller kind of case sample setting.

8           COMMISSIONER MC ALLISTER: Yeah, and I guess  
9 I'm -- you know, the wheels are kind of spinning in my  
10 head, and probably in somebody else's head, too, where  
11 to the extent that we wanted to do some additional  
12 research on what's happening out there with permitting  
13 and compliance, you know, we might be able to work  
14 together to sort of do that study. You know, based on a  
15 big sample and look at -- you know, work with some local  
16 governments, local jurisdictions to figure out, you  
17 know, to sort of triangulate between what data they  
18 actually have and what data -- you know, what this  
19 population of projects has generated.

20           So, that might be a very productive kind of  
21 partnership to sort of help understand the landscape  
22 better.

23           So, thanks a lot for being here. I appreciate  
24 it, Jesse.

25           MR. FULTON: Great, thank you.

1           COMMISSIONER MC ALLISTER: Okay, so we're a  
2 little behind schedule, but not horribly so, I would  
3 say, at least by my standards.

4           Let's see, so Brian Selby next. Okay, great.  
5 Thanks.

6           MR. SELBY: Should I come up here?

7           COMMISSIONER MC ALLISTER: Yeah. Just a  
8 reminder, also, if anybody wants to speak, blue cards  
9 are available back there. I've got a few of them  
10 already, but if anybody -- for public comment, if you  
11 have something you want to talk about, please do submit  
12 one of those.

13          MR. SELBY: Good afternoon, my name's Brian  
14 Selby, Selby Energy, Inc.

15          I've got a little background in energy  
16 efficiency, Title 24 work. I've been working as a  
17 residential building designer for the past 30 plus  
18 years. I've been doing Title 24 work, compliance work  
19 since about 1986, when my boss, working at a residential  
20 design firm, came up with a stickful of books and said,  
21 hey, our building department's enforcing this new energy  
22 thing. Learn it. Dropped it on my desk.

23          So, I was fortunate enough to be in the right  
24 place at the right time. And I'm amongst a lot of  
25 friends here and been in the same industry for such a

1 long time.

2           HERS rater, certified energy analyst, KBEC  
3 (phonetic) board member. You can see, you know, I get  
4 around a little bit with energy efficiency.

5           I've had the privilege of facilitating, for some  
6 part, as well as being a member of the CIG, of the  
7 complaints and improvement advisory group. A lot of  
8 these issues that we've talked about today have been  
9 discussed and written out in white papers. And I  
10 encourage you to go to the CIG website and check those  
11 out.

12           I'm also an instructor. I teach Title 24  
13 essentials courses for the Energy Codes Team.

14           Today I'm coming here on my own behalf. I'm not  
15 speaking for my utility friends. But I will share some  
16 of my experiences as an instructor.

17           I know Randy brought up a few good points.  
18 Building inspectors, plans examiners come to class. One  
19 of the major complaints that I hear as an instructor is  
20 there's too much information, this is very overwhelming.  
21 And I hear it all the time. It's really difficult to  
22 teach a very complex energy code in one day, in a seven-  
23 hour period of time.

24           We can touch on the high points. We can touch  
25 on the most important points that we feel are necessary

1 to give them the minimal competency to perform their  
2 duties as with respect to Title 24 part 6.

3 Today, I wanted to focus on, mostly, just on the  
4 solutions. We all know what the problems are. We've  
5 heard them all. It's too complicated. It's too  
6 expensive. Too much of a hassle. Too many forms,  
7 obviously. Not enough time to enforce. Not enough  
8 resources to enforce. My competitor isn't doing it, et  
9 cetera.

10 Have I missed any? Anybody want to contribute?  
11 I think we understand all of the problems.

12 But what I wanted to do was bring up, you know,  
13 what are we doing about solving these problems or what  
14 can we do to solve these problems?

15 So, these questions that the Energy Commission  
16 approached us with, us speakers to answer, very well  
17 written questions. Thank you very much. It really  
18 makes my job a little easier to come up here and explain  
19 these things.

20 So, how can compliance be assessed and improved?  
21 I had to dissect that into two different pieces because  
22 it's really two questions.

23 How can compliance be assessed? We need to  
24 understand the extent of the problem, first, before we  
25 can address lasting solutions. There are solutions, but

1 are those solutions going to last? Are they going to be  
2 solutions that are going to work with this iteration of  
3 the code, with the 2016? And as we approach zero net  
4 energy, are those solutions going to stand the test of  
5 time? So, we need to understand how compliance can be  
6 assessed.

7 Wes, I've had an opportunity to work with  
8 BayREN. Actually, I did the very first prop visit and  
9 I've led several of the prop assessments with building  
10 departments. Wonderful, wonderful work that's going on  
11 there. We need to leverage that and what others are  
12 doing to assess compliance.

13 We need to look at other potential solutions to  
14 assessment. Assessing each individual building  
15 department is time consuming. It's labor intensive, it  
16 takes a lot of resources. Am I correct?

17 That's why BayREN's only been able to sample.  
18 They assessed 13 jurisdictions -- 15 jurisdictions. And  
19 that was done over, probably, a year's amount of time  
20 and a lot of data.

21 There are other ways. You know, looking at  
22 volunteer building departments. They collect an  
23 enormous amount of data regarding permits. Now, their  
24 permit classifications may not be in the same language  
25 we're used to seeing for Title 24 purposes, but a map

1 can easily be determined, what their permit  
2 classifications are in association to Title 24 part 6.

3 We take that information, as far as possibly  
4 residential HVAC change outs, or commercial lighting  
5 retrofits, we can take that information and compare it  
6 to either HERS registries, or in the event we do have a  
7 nonres registry, at some point in time we can compare  
8 that information.

9 Not to use that as a hammer or a tool for  
10 disciplinary action. We need to use that information to  
11 understand what the industry is doing. That way, we can  
12 develop solutions that can address some of these  
13 problems.

14 So, the old adage, we don't know what we don't  
15 know, right. We're proposing solutions that may not be  
16 the answer to the problem. So, it's really important  
17 that we understand the problem, first.

18 Once we do, how can compliance be improved?  
19 Well, I've got a pretty bold statement here, change the  
20 way we do compliance. We need to think differently. We  
21 need to think not in an energy consultant or engineer  
22 way. We need to think in how the consumer, or the  
23 person who is actually using the forms, the building  
24 departments, the contractors, and the homeowners. If we  
25 don't think in that way, the forms have no value. The

1 forms don't have a value to the particular people  
2 performing that role.

3           So, Mazi, you covered why are compliance  
4 documents required and, Charlie, backing that up,  
5 wonderful.

6           You know, I would rather address how can they be  
7 improved. And there have been numerous suggestions  
8 here, ranging from simplification to technology.

9           But I want to point out that we need to focus on  
10 the user of the document, the primary user, the plans  
11 examiner, the building inspector, occupant or homeowner.  
12 Those are going to be the primary users of these  
13 documents. Everybody else is kind of in addition to it.

14           I'm an energy consultant. I speak energy  
15 consultantese [sic]. Not everybody does. In certain  
16 circles, we can talk and nobody else can understand what  
17 we're saying. So, usually, we speak in acronyms and a  
18 lot of information, a lot of real geeky stuff. And I  
19 love it and I enjoy it. But most of our population that  
20 lives and occupies buildings don't speak in that.

21           Speaking towards compliance documentation.  
22 Building departments, specifically plans examiners and  
23 building inspectors, we need to help them prioritize  
24 measures.

25           One of the biggest complaints I hear, and I can

1 share some examples, is I don't know which measure is  
2 the most important. We have limited time and we cannot  
3 inspect them all. Tell me what is the most valuable  
4 piece to inspect first?

5           A perfect example, I was at a building  
6 department, we had a particular project. It was a  
7 nonresidential project. It was a large addition and  
8 alternation to an existing large building. The plans or  
9 the Title 24 documentation included a performance whole-  
10 building approach for existing, plus addition, as well  
11 as documentation from the mechanical engineer for  
12 prescriptive mechanical and prescriptive lighting.

13           The building inspector said, which one's right?  
14 He had no idea which one's right. Which one do I  
15 accept, which one do I approve?

16           It turns out they were both wrong. Even though  
17 they issues a permit, they issued a permit and they went  
18 out to construction.

19           So, once we get out and visit the site, and look  
20 at what was actually installed, it didn't even resemble  
21 what was promised.

22           Look at the CF1R and the NRCC Perf 1 as  
23 documents based on what I promised to install, right.  
24 And if they don't install those, then they get a  
25 document, a CF2R, or some sort of installation

1 certificate that says these are documents that say this  
2 is what I actually installed.

3           The problem is, and builders and installers know  
4 this, building department doesn't have the time to  
5 compare these two documents side by side and say, look,  
6 here's what you promised to install, here's what you  
7 actually installed. Wait, this doesn't jive, this  
8 doesn't work. There's a lot of noncompliance in that  
9 department.

10           So, we need to prioritize the highest value  
11 measures first, so that they can systematically go  
12 through there, as they have time, and do this.

13           Also, develop user-centric compliance forms that  
14 are designed specifically with the user in mind. A lot  
15 of suggestions have been either streamline or provide a  
16 summary document that would summarize information.

17           This needs to be an at-a-glance, measure-by  
18 measure. Most of my clients, when I compliance  
19 documents, I do that form. I write it in their  
20 language. I write it in a way that they can understand  
21 it. And they love it. They love this information.  
22 It's not a CEC-approved document, it's not generated by  
23 the HERS provider or anybody else. I take and decipher  
24 energy consultantese into plain English and put it down.

25           Generally, even a large commercial building

1 could be summarized on one page, very easily, and in  
2 terms that they understand and they can implement.

3           The risk is, if they don't understand it and if  
4 they don't incorporate that information on the plans,  
5 the likelihood of it being built is pretty low.

6           A perfect example is rating bare roof sheeting.  
7 If it's not on the plans, the framer's not going to know  
8 that he needs to put rating bare roof sheeting on. That  
9 one gets overlooked a lot. Or continuous insulation,  
10 whether it be residential or commercial. There's a lot  
11 of issues that need to be put in plain English so that  
12 they understand.

13           Develop a compliance format that provides value  
14 to the owner or occupant. I think if we want to  
15 encourage compliance through the vehicle of pulling a  
16 permit, and providing all of the compliance  
17 documentation, that compliance documentation has to have  
18 value to the owner or occupant so that they have value  
19 for their money.

20           A lot of people have asked me, what does all  
21 this stuff mean? Well, it means you get to add on to  
22 your house. Or it means you get to remodel your  
23 building. Beyond that, we could spend hours of me  
24 explaining to you what all this information is.

25           Some sort of rating or some sort of value that a

1 homeowner could use. I think, Bob, you touched on that,  
2 the value of energy efficiency will definitely increase  
3 compliance. Homeowners, building owners will ask for  
4 permits because they get that value from the  
5 documentation.

6 Streamlining the process, installation forms.  
7 Charlie, I think with work that's going on with the 2016  
8 code, I think this is pretty well addressed. There is a  
9 major disconnect between contractors and going to a  
10 registry to fill out forms.

11 So, even a step further now, in most cases, with  
12 residential construction the HERS rater is the one  
13 filling out these forms. So, there's opportunity to  
14 possibly allow the HERS rater to do more third-party  
15 inspection and take the burden off the building  
16 department.

17 What can be done to reduce transactional costs  
18 of compliance? Time is money. Really, the value of  
19 compliance is save time. Contractors are on tight  
20 deadlines. Homeowners want to get in and they want to  
21 get the certificate of occupancy. So, the faster they  
22 can do it, the less it's going to cost them.

23 So, streamlining the documentation process, you  
24 know, CF2Rs, NRCI, NRCA forms, streamlining that process  
25 to make it easier, less burdensome, less of a barrier

1 towards compliance would be very helpful.

2           Possibility of providing, I don't know if the  
3 performance-based, construction phase compliance  
4 approach, meaning that we have a process in place right  
5 now that works. That is a prescriptive process. What  
6 you've promised to install becomes a prescriptive list.  
7 You need to install all of that. Otherwise, you've got  
8 to change it, and redo that list, and start over again.

9           You know, this approach would allow a HERS rater  
10 to verify all of the energy efficiency measures. Not  
11 just the HERS verified measures, but all of them. And  
12 this would provide a very streamlined approach,  
13 utilizing as-built model.

14           If it's run via the performance approach,  
15 modeling approach, use that as that model, as the  
16 compliance documentation. What better way to accurately  
17 capture savings than have an accurate model. So, that  
18 could be done on the performance approach.

19           This approach could also be done via the  
20 prescriptive approach. Have the HERS rater be the one  
21 that verifies all this information and compiles the  
22 documentation. It's one idea, one approach that may  
23 have some merit and we're exploring.

24           That wraps it up. Any questions?

25           COMMISSIONER MC ALLISTER: Thanks a lot, I

1 really appreciate your being here. I think we're so  
2 close to the end here, I think maybe we'll go with Mr.  
3 Langston. And then, I don't see Matthew Hargrove here,  
4 yet, so I think we're going to assume that you're the  
5 last speaker and then we can open it up for Q&A, and  
6 then everybody can pitch in.

7 So, thanks a lot, Brian.

8 MR. LANGSTON: Okay. Well, good afternoon,  
9 everyone. My name is Don Langston. I'm the President  
10 of Aire Rite Airconditioning and Refrigeration in  
11 Southern California. We're a third generation air  
12 conditioning contractor that started in 1972.

13 We strictly do commercial buildings. So, a lot  
14 of the dialogue going on here today does not apply to  
15 me. But it's very interesting.

16 My role, besides being a contractor and  
17 employing over 127 people, and dealing with over 70  
18 technicians and installers over the southern half of the  
19 State of California provides a good vantage point to  
20 look at the marketplace. And we do a lot in office,  
21 retail and restaurants.

22 And, especially in restaurants, those are very  
23 high energy consuming, energy intensive buildings.

24 I'm very intrigued by Assembly Bill 758 because  
25 I see that as a very promising approach to really kind

1 of setting codes aside, in their current terms, and  
2 actually going after performance, and measuring that.  
3 And then, from there, coming up with some really  
4 outcome-based code approaches. I'm very intrigued by  
5 that.

6 So, just real quickly, I know that I'm the last  
7 speaker here so I'm going to make this as quick as  
8 possible. And it's ironic that the contractor goes  
9 last. Ironically, we are the tip of the spear that  
10 makes everything happen. We're the ones that are  
11 dealing with the --

12 COMMISSIONER MC ALLISTER: I'll just speak up  
13 just a second.

14 MR. LANGSTON: Yes, sir.

15 COMMISSIONER MC ALLISTER: I would really have  
16 liked to have more commercial participation in this,  
17 because I think they are very different, residential and  
18 commercial. And, you know, in some respects residential  
19 has maybe a certain urgency because we are pushing  
20 towards ZNE on the new construction, et cetera.

21 But many of the kind of loudest voices in terms  
22 of, gosh, you know, this is unworkable for me, have  
23 actually come from the commercial space. And it's  
24 really just particular places where I think the, you  
25 know, TI and stuff like that, where it's -- anyway, I

1 won't get into the details.

2           But I would like to extend this conversation  
3 more in the commercial space. I think we've done a good  
4 job on the residential space, but probably ought to  
5 think about how we can get some of your colleagues, and  
6 some of the other folks in the commercial space to  
7 submit comments to this workshop or within the IEPR.

8           MR. LANGSTON: Well, and to that point,  
9 Commissioner McAllister, what I would recommend is going  
10 to gatherings where these contractors are. It's very  
11 difficult. I mean, I was invited here last minute and  
12 I'm very pleased to be here, to represent contractors in  
13 general, but especially those that are dealing in the  
14 commercial space that I am.

15           So, I mean, a good example is in this November,  
16 in Pasadena, IHACI has their annual convention and it  
17 would be great to have some kind of a forum where we had  
18 contractors, we had code officials, we had State  
19 officials and just have a forum and talk about these  
20 things.

21           I mean, there's nothing that I think will help  
22 us more than get people, you know, get seats or get a  
23 round table and talk. Because there's a lot of things  
24 that everyone looks at this from their various  
25 perspectives, and those perspectives are all right to

1 them. But, once again, it is just a perspective.

2           So, just real quickly, so besides running the  
3 business that I do, I'm also representing the Air  
4 Conditioning Contractors of America, over 4,000  
5 contractors throughout the United States. I'm on the  
6 Executive Committee for the WHPA, representing ACCA. I  
7 also Chair the Commercial Quality Maintenance Committee  
8 for WHPA. I'm also the Vice-Chairman for ASHRAE, ACCA  
9 Standard 180, which is the commercial maintenance  
10 standard.

11           So, we're also involved with a lot of emerging  
12 technology projects for both Southern California Edison  
13 and San Diego Gas & Electric. And we're currently  
14 doing, through SDG&E's emerging technologies, a 758  
15 pilot.

16           So, yeah, so we're moving forward. So, next  
17 slide, please. So, real quickly, I'm going to go  
18 through these really quickly, because no knowing exactly  
19 who was going to cover what, I think we've kind of  
20 flogged this all pretty well as far as the challenges  
21 here and what we need to move forward.

22           So, this is in the Power Point and it can be  
23 looked at, and we've already kind of covered these.

24           So, next slide, please. I brought it with me,  
25 at least on the commercial side, and it's in a three-

1 ring binder, and it's about a ream of paper of just some  
2 of the things that we have to deal with. I should bring  
3 it out, but it's not going to have the value, that we've  
4 already covered a lot of this stuff.

5           So, we'll move on to the next slide, please.  
6 Once again, I think that there's some opportunities  
7 here. We have to change our approach because we keep  
8 doing the same thing, and we're just adding more  
9 complexity to it, and we're getting further away from  
10 the goals. So, I think we've got some opportunities  
11 here to move forward.

12           The next slide. Once again, I think AB 758  
13 provides us a great opportunity. And once again, from a  
14 commercial building and from a residential, also, every  
15 system is unique. It is kind of like a snowflake.  
16 They're in different climate zones, they were installed  
17 by different people. These are not being done in a  
18 factory. The building envelopes are different.

19           So, I really think that more time needs to be  
20 spent looking at, you know, what are the most  
21 appropriate energy efficiency measures that will work  
22 for that specific building owner or homeowner in that  
23 climate zone.

24           The next slide, please. This was a very  
25 intriguing study that was done through NIST, and through

1 ACCA, and Oak Ridge. This was very intriguing because  
2 it not only applies to a residential aspect, but also  
3 for commercial buildings.

4 And the NX36 report really kind of gets into the  
5 problems of poor installation and maintenance. And  
6 then, if you have multiple faults, how does that impact  
7 energy efficiency? So, this is a great one as a  
8 reference point.

9 The next slide, please? Oh, I'm sorry, I  
10 thought I had -- yeah, if you can just roll all the way  
11 through there, I thought I had changed that. But sorry  
12 about that.

13 So, really, what we're looking at here from the  
14 outcomes from that report was looking at duct leakage,  
15 refrigerant charge issues, under-charging, over-  
16 charging, and then under-sized cooling with expansion  
17 valve. So, all these have an impact. And if you have  
18 multiple faults, it actually creates more of a snowball  
19 effect.

20 So, we know that duct leakage is a very big  
21 issue, both for residential and commercial applications.

22 The next slide, please. All right, I just threw  
23 this up here just so we can actually talk about HVAC  
24 from a kind of commercial stand point.

25 We talk about raising the standards, the energy

1 efficiency ratios of the equipment that we're putting on  
2 the roofs. And since, you know, the bulk of the work we  
3 do are in equipment replacement, one of the things that  
4 we've been very involved with, both with Southern  
5 California Edison and San Diego Gas & Electric, is  
6 actually looking at the whole system performance, and  
7 not just changing rooftop units.

8           Because you can actually just change a rooftop  
9 unit and you can go with the highest efficiency unit you  
10 have, but if you're connecting that to the existing  
11 ductwork, or some marginal roof adaptor curb, it's a  
12 waste of money because you're not going to get the  
13 efficiency that was calculated in a laboratory.

14           So, we do a lot when we're measuring the actual  
15 performance in the field. And what we're finding across  
16 the board, with over 500 plus systems that we've  
17 evaluated in the last four years, is that return air  
18 duct is severely under-sized in almost every  
19 application. There's a lot of just ripped duct or  
20 compressed, crushed ductwork in the ceilings and so it's  
21 really not getting -- even if you've got an efficient  
22 rooftop unit on the roof, it's not getting into the  
23 conditioned spaces.

24           The next slide, please. So, once again, we've  
25 talked about some of the ideas around the table here, so

1 these were just my ideas that are really kind of  
2 being -- already been mentioned before. It's about just  
3 being able to pull licenses online.

4           You know, just I'll jump to the very bottom  
5 point there. The City of Los Angeles has a pretty nice  
6 permit system online, and it's very helpful. And us, as  
7 contractors, I have project managers and supervisors, so  
8 I don't pull very many permits myself anymore. But, you  
9 know, they're working a lot of hours. They're trying to  
10 coordinate with the code officials, you know, having the  
11 field inspections, and a lot of these things really  
12 delay the work we're doing. The guy's going to be there  
13 tomorrow. You know, we have someone there who waits all  
14 day, and he does show, because the guy ends up being  
15 sick. I mean, life happens, we're all human. But that  
16 really delays our project.

17           So, the more we can do online, through a smart  
18 phone or other applications, will just -- it will lower  
19 the costs, the transactional costs for doing work.

20           The next slide, please. Really, being able to  
21 have some uniformity between the jurisdictions would be  
22 so helpful. There is so much confusion out there, even  
23 within the same county. It doesn't matter if it's Los  
24 Angeles County or Orange County, San Diego, you know, we  
25 deal in seven counties in the southern half of the

1 State, and they're all different. So, really, we need  
2 something that's simplified.

3 And it reminds me of an old saying that says  
4 that a mist in the pulpit creates a fog in the pews.  
5 And so, what we have here is a lot of mist and it's  
6 causing a lot of confusion, and that's having a ripple  
7 effect in a negative way throughout all of the different  
8 jurisdictions.

9 And then we, as contractors, are trying to do  
10 things a certain way, in a certain jurisdiction, and  
11 then it's done completely different in another.

12 I had a situation, this last week, out in the  
13 Coachella Valley, with some inspectors that just didn't  
14 like economizers and they don't care if that's the code.  
15 And so, I'm like, okay.

16 So, what do you do? That's just reality right  
17 now.

18 But that last point, bullet, I did there in red.  
19 I really think that to be able to help the inspectors  
20 understand the importance of energy code, and spend more  
21 time helping them educate on that would be very helpful.  
22 Because they're being asked to do a lot. And with the  
23 complexities of the code going up, we really need  
24 someone that we can really rely on, and talk to that's  
25 actually speaking that very unique language.

1           So, next slide, please.

2           MR. SHIRAKH: Can I ask a question? What do you  
3 mean by having different criterias for different  
4 jurisdictions? Are you talking about different climate  
5 zones or --

6           MR. LANGSTON: Well, let me rephrase that. It's  
7 how it's being interpreted, interpretation of codes.

8           So, this slide here, really, the compliance, I  
9 think, in the commercial segment is pretty good because  
10 building owners realize -- they're a much bigger target,  
11 too, they're a bigger building. If a crane goes up  
12 somewhere, it draws a lot more attention when we're  
13 changing equipment. So, we really don't have a lot of  
14 pushback on pulling permits, it's just what we do.

15           But there's been many times where, when we show  
16 it as a line item on our proposals, what's involved.  
17 Because a lot of times if it's over a couple hundred  
18 pounds, we have to pull a structural permit. Well, a  
19 structural permit, with a structural engineer can be  
20 anywhere from \$500 to \$1,000. That adds time, it adds  
21 complexity.

22           Even if we're doing a like-for-like change out,  
23 in certain jurisdictions they require it, others don't.  
24 Okay, well, this is only 100 pounds more. Well, that  
25 requires a structural. Why? Because I said so, you

1 know. So, we have a lot of confusion going on with  
2 these types of things.

3 So, if we show a line item for all of the extra  
4 fees related to pulling a permit and, you know, changing  
5 out a 15 or 20 ton package, you know, it could be 3,000  
6 bucks. And they'll say, thank you for your proposal and  
7 they'll go with someone else. And that happens. But  
8 that's just reality.

9 So, we're trying to do the right thing and then  
10 someone else goes out and changes it. So, we need to  
11 have a little more teeth to what's going on.

12 COMMISSIONER MC ALLISTER: And that's \$2,000 or  
13 \$3,000 on top of what project costs, for like a typical  
14 rooftop unit?

15 MR. LANGSTON: Well, it could be -- yeah, that's  
16 a great clarifying question. You know, we could have an  
17 \$18,000 job and there could be \$3,000 to \$5,000 in  
18 permits depending on the city or depending on the  
19 jurisdiction. Because, once again, a structural review,  
20 depending on where it's at, could add several thousand  
21 dollars by itself, let alone the other permitting fees.

22 COMMISSIONER MC ALLISTER: So, I guess I'm  
23 hearing from you, between the lines, that there's a  
24 competitor out there that will bid it without a permit,  
25 and without a structural review, and that it will lop

1 off 5,000 bucks from the bid. And possibly, in some  
2 cases, get the project?

3 MR. LANGSTON: Yes, and it happens all the time.

4 COMMISSIONER MC ALLISTER: Okay, thanks.

5 MR. LANGSTON: The next slide. Once again, I  
6 think helping people understand why they need to follow  
7 code is important. There's so many things we've already  
8 talked about here, and I'm kind of hitting on some of  
9 these.

10 But there needs to be -- and once again, this is  
11 more geared towards the residential, than the commercial  
12 side, but it is still a challenge in commercial with  
13 building owners, and with property managers. We work  
14 with a lot of large property management firms. And  
15 even, once again, we have full disclosure and we show  
16 what that cost is.

17 And it's a pain to them because they don't see  
18 added value. So, we have to try and explain that to  
19 them. But we have to show that, so that when we're  
20 being -- we're always going to be, usually have one or  
21 two other bids going against us for proposals, so we  
22 have to show that just for the nature of the  
23 competitiveness of getting the job.

24 So, the next slide. I look at this that, once  
25 again, I think there's a great opportunity with AB 758.

1 And once again, I think the goals are to improve the  
2 building performance. I've got all these on here, I'm  
3 not going to read them line by line and point by point.

4 But there's been some great points made here  
5 about verifying, about simplification. And the  
6 technologies available today, for us to go out and  
7 measure system performance, measure delivered efficiency  
8 into the conditioned space, so we can submeter  
9 equipment. We can measure delivered Btus. We can  
10 measure delivered CFM. We can measure the CFM. We have  
11 everything we need to be able to give a great field test  
12 that shows where we're at. And I think that technology  
13 needs to be expanded upon and contractors need to be  
14 encouraged, and so do building owners and other decision  
15 makers, to take this route.

16 The next slide. Okay.

17 COMMISSIONER MC ALLISTER: So, Don, just one  
18 question and then I'm going to open it up for a little  
19 bit more discussion. So, how big -- so, it really seems  
20 like there are two sort of discontinuities across, you  
21 know, say your service territory.

22 One is that the different jurisdictions actually  
23 interpret the code differently, which is what you said  
24 before.

25 The other one is, you know, I think, you know,

1 I've heard over and over again that different  
2 jurisdictions just have different systems in place, and  
3 permitting processes. Some are over the counter, some  
4 aren't.

5 MR. LANGSTON: Correct.

6 COMMISSIONER MC ALLISTER: You know, et cetera,  
7 et cetera, with L.A. has a good one, but the next door  
8 neighbor might not.

9 How much, sort of relatively speaking, you know,  
10 how big a problem is that latter one for you? Like,  
11 just having to jump through different hoops for each  
12 local jurisdiction?

13 MR. LANGSTON: Well, it adds time, which adds  
14 cost. And, I mean, the percent of municipalities or  
15 jurisdictions that have online permit processing is  
16 probably in the single digits. It's a very low  
17 percentage.

18 So, we've got to go pull the permit, pull all  
19 the information, bring the drawings or, you know, go  
20 over it with someone over the counter. Depending on the  
21 time of day, the day of the week, they may not be open a  
22 full eight hours. And so, you know, there's times, many  
23 times we have to go multiple times to get something  
24 done.

25 And we may have a piece of equipment that's

1 down. We've got an AC unit that's not working. I've  
2 got some unhappy customers. And we're like, look, they  
3 approved it and now we're trying to get the permit so we  
4 can actually move forward. So, the speed of delivery  
5 varies from each jurisdiction. I'm not sure if that  
6 answers your question.

7           COMMISSIONER MC ALLISTER: Yeah, I guess, you  
8 know, that's another transaction cost that isn't exactly  
9 what we're talking about with respect to code, but it is  
10 something that's important and could help the  
11 marketplace function if it worked better, and they were  
12 more uniform, say, I would imagine.

13           MR. LANGSTON: Yeah, I mean in a perfect world,  
14 if we could be able to have an i-Phone app, or an  
15 android app, just to keep it neutral, that we could go  
16 through and be able to fill out the basic information  
17 from the customer, and then apply online, so at least  
18 now we've teed it up, this is what we're trying to do.  
19 And here's an attached file for what we're trying to do.  
20 And we're following a simple process that's uniform,  
21 that's the key, that's uniform, that everyone can use, I  
22 think we could really move on, really streamline this  
23 process a lot.

24           COMMISSIONER MC ALLISTER: Okay, great. It  
25 looks like Mazi -- yeah, go ahead.

1           MR. SHIRAKH: May I ask a question? You  
2 mentioned that the code is complex and the 2016  
3 standards are making it more complex, if I understood  
4 your introductory comments.

5           I wasn't sure if you were talking about the  
6 energy code or other parts of the code.

7           And you also had a slide that was showing all  
8 the problems with the HVAC system, the air flow, the  
9 static pressure, the charge and all that.

10           What we've tried to do, at least, is try to come  
11 up with a code that will address, specifically, each of  
12 those issues.

13           So, is there a way that we can present the code  
14 or write the code that's simpler, that would still  
15 accomplish what you were trying to accomplish in that  
16 graphic?

17           And I was -- I'm just basically looking for  
18 ideas of coming up with better code language that's  
19 simpler, but still accomplishes everything you had in  
20 that graphic?

21           MR. LANGSTON: And that's a great question. I  
22 think whatever we measure will be improved. So, being  
23 able to measure performance -- filling out forms are  
24 important because you're trying to establish some guard  
25 rails, right, and move people in the right direction,

1 and I agree with that.

2           The problem is that there is -- the forms seem  
3 complex to a lot of what we're trying to do. Most of  
4 what we're doing are unit change outs.

5           So that the code applying to the new building  
6 makes perfect sense because we have a clean slate. We  
7 have all the architects, the other engineers together.  
8 They're going through their process. There's no  
9 problem, I have no complaints with that because we're  
10 all kind of gearing up for it and understanding it.  
11 We're going through that maturation process.

12           Where the problem is, is when we're changing out  
13 just units, we're changing out rooftop units, right. We  
14 know that over 80 percent of the building stock is  
15 already built, so we're not going to have that much new  
16 construction when you look at the total inventory.

17           So, being able to have a simple form for a  
18 rooftop or a split-system change up, be it residential  
19 or nonresidential, is critical. And this is the  
20 condition of the equipment, this is what it's doing. We  
21 did some simple measurements. This is how much power it  
22 was drawing. You know, and just take some key  
23 information, put that into an app, and then here's your  
24 before and after.

25           And from that measure, your Kwh per ton, and

1 then we could actually see a performance improvement, we  
2 could actually measure it. How much better can we get  
3 than that, you know, than just wet my finger and this is  
4 what Deere says we're going to do. I'm sorry, I don't  
5 have a lot of faith in that. Sorry.

6 MR. SHIRAKH: I think we all agree that the  
7 alterations are the biggest challenge. We've attempted,  
8 you know, to address some of these issues. But, you  
9 know, I think what you're suggesting is having, again,  
10 electronic forms, apps, and that sort of thing. Those  
11 are the kind of ideas we're looking for.

12 MR. LANGSTON: Right. I'm a firm believer in  
13 measuring. So whatever we can measure with power, with  
14 temperature, with air flow will give us a better picture  
15 because that's how these systems are designed.

16 So, I'm concerned that forms being filled out  
17 sometimes may not have accurate information. But if  
18 we're actually measuring them and maybe you're having a  
19 couple of pictures you're taking for a verification  
20 process along the way.

21 We helped pilot a program in Southern California  
22 Edison for early retirement, kind of a cash-for-clunkers  
23 for package units. And it's had some great success.  
24 But the idea was the equipment had to be working.

25 Right. Well, it did. You know, you couldn't

1 just take -- because if it had a dead compressor, it's  
2 not drawing power on the grid and that's not helping  
3 with demand response.

4 But being able to measure the performance of  
5 that old piece of equipment, before and after, is  
6 important because then we can actually calculate what  
7 impact does that have for the grid.

8 But I would invite you down any time to Southern  
9 California, you can go out and we can look at that stuff  
10 together. That invitation's open any time.

11 COMMISSIONER MC ALLISTER: That's great. I'm a  
12 firm believer --

13 MR. SHIRAKH: I'm going to take you up on that  
14 offer.

15 COMMISSIONER MC ALLISTER: I'm a firm believer  
16 in ride-alongs.

17 MR. LANGSTON: Yes.

18 COMMISSIONER MC ALLISTER: I think that's a  
19 great learning experience.

20 Well, I want to give an opportunity of folks on  
21 the panel to ask questions of each other, if they have  
22 any, because I think probably that could be helpful to  
23 elicit some additional information sort of at a  
24 relatively high expertise level -- a relatively high  
25 level of expertise.

1           So, does anybody have anything they want to ask  
2 to anybody else on the panel? Then I'm going to open it  
3 up for the blue cards.

4           Yeah, go ahead.

5           MR. SULLENS: Yeah, Charlie, I was intrigued by  
6 your HERS registry and the fact that you were asking  
7 would it be useful for building departments to be able  
8 to see the green lights, the checkoffs.

9           And there's a similar software that's out there  
10 for construction waste recycling called green -- what's  
11 it called, Waste Tracker, Waste Tracking. I'll send you  
12 the link.

13           And it's been really helpful because there's a  
14 number of jurisdictions in our area that have this.  
15 It's a third party, private sector software that is free  
16 for local governments, and it basically -- they're able  
17 to set up their criteria and check off permit steps  
18 along the way, and review it. And then the contractor  
19 can upload forms and things like that.

20           And our users of that, the local government  
21 users love it because they have this e-mail  
22 communication that's quick, it's effective, it's fast,  
23 and they can see clearly where they are.

24           So, I think maybe that's a good kind of  
25 reference. And the more that we can bundle these

1 things, too, so it's the energy, it's the other parts  
2 all -- has all the more kind of strength behind it for  
3 enforcement.

4 So, I don't know if you've heard of that or --

5 MR. BACHAND: I did hear it, thank you. I'd be  
6 very interested in looking at the link to see what else  
7 we can do to help.

8 And I think that, you know, the notification  
9 thing can be very helpful. I hope it proves helpful to  
10 the building departments.

11 MR. SELBY: I wanted to add to that. The key  
12 thing is getting building departments to use that  
13 feature. I know, through our classes, we tell them that  
14 they have access to HERS registries. And they're like,  
15 really, how do we do that?

16 So, there is a disconnect, there is a learning  
17 curve that they will need to -- you know, maybe some  
18 very specific training would be in order for that.

19 MR. BACHAND: If I may, just real fast, we  
20 actually have already put some webinars online for  
21 building department officials to learn out to use our  
22 Project Status Report. And those are available from  
23 CalCERTS.

24 We'd certainly be open to doing such a thing  
25 again, or again, and again, and again if that's what's

1 necessary for jurisdictions to learn. Because it will  
2 take, you know, a 15-minute presentation before they  
3 really know exactly what they're doing.

4 COMMISSIONER MC ALLISTER: Let's see, I'm going  
5 to -- well, I want to take a little pause here to thank  
6 staff for organizing this. Certainly the IEPR staff,  
7 Stephanie and crew. And Raquel and Heather are off in  
8 San Francisco, at another concurrent workshop, so  
9 they're working overtime these days. So, thank you for  
10 that.

11 And for Charles Smith, also, my adviser on IEPR  
12 and other matters, who really helped to put this thing  
13 together. There he is back there.

14 And also, Eurlyne Geiszler and the buildings  
15 team. I see Bill there, as well, and there's Peter.  
16 Really, thanks for all of your suggestions on how to put  
17 this thing together. Because it was a little bit  
18 challenging to figure out how we sort of cover a bunch  
19 of topics all at once. And we ended up with sort of one  
20 big bucket of presentations and kind of, frankly, seeing  
21 how it would go. So, I think it went well.

22 A lot of interesting ideas, both for kind of our  
23 existing system and how to oil that a little bit to  
24 decrease friction in the system. But also, you know,  
25 thinking towards the future, I know staff is doing that

1 already, on thinking how we can leverage electronic  
2 tools. And there's a lot of interesting thinking going  
3 on about utilizing actual consumption data from project  
4 sites, pre/post, and doing some of that analysis that,  
5 Don, you were referring to.

6           It's not a trivial thing to do. It's quite a  
7 turn from our current trajectory, but it is -- actually,  
8 you know, we're in 2015 and data is a resource that we  
9 ought to figure out how to use better.

10           And to the extent that we could possibly create  
11 a track where, if the customer consented to that kind of  
12 access to their data in terms of -- and in exchange for  
13 that, you know, injecting their data into a system like  
14 that, maybe their process on the compliance side is  
15 maybe streamlined somehow, or improved, or they jump to  
16 the front of the line, or something like that. You  
17 know, I'm certainly open to those sorts of ideas.  
18 Obviously, more fully backed than I've just sort of  
19 suggested.

20           So, go ahead, you have a response?

21           MR. LANGSTON: More or less just to add on to  
22 what you're saying. So, we're working right now with  
23 SCE, through the Quality and Maintenance Program, on a  
24 large portfolio customer that I have. And they were  
25 actually one of the earlier adopters into the Quality

1 and Maintenance Program.

2           And what we're doing is we're actually looking  
3 at, now, about two years of their electrical data. And  
4 we've gone through, in all the different measures  
5 involved with the quality and maintenance, along with  
6 some very robust and aggressive economizer upgrades,  
7 where the economizers did not work prior to that.

8           So, we're going through that to kind of look and  
9 see, on that whole portfolio basis, how has that  
10 changed, you know, has it bent the curve in the right  
11 direction. So, that's going on right now.

12           COMMISSIONER MC ALLISTER: Do you do things like  
13 continuous commissioning as part of your services? You  
14 know, do you provide ongoing services to a given  
15 customer to make sure that their units are operating  
16 well, and that they're perceiving the savings over time?

17           MR. LANGSTON: Yes, we have some customers we've  
18 had since the mid-1970s, that we've had continual  
19 maintenance and just maintaining that equipment. So,  
20 we've got a long history of that.

21           COMMISSIONER MC ALLISTER: Yeah, not directly a  
22 code issue, but it's certainly a customer value issue.  
23 And if they can see that the code helps them get to that  
24 level, when they do a big investment, then that's all  
25 for the good, I think.

1           MR. LANGSTON: Real quickly, what we're doing is  
2 we're just trying to move the conversation with the  
3 customers to helping them understand the increased  
4 energy cost.

5           And so, what we're doing is we're taking  
6 portfolios and just keeping it simple. Saying, well,  
7 what are you spending on a summary basis over the course  
8 of a year, and what is the square footage of your  
9 buildings, and let's just benchmark each building on  
10 your energy cost per square foot, and Kwh per square  
11 foot.

12           And it is amazing, when I talk to customers that  
13 didn't -- I mean, very high level, CFO type people that  
14 did not realize they were spending three and a half to  
15 four million dollars a year on electrical costs, and it  
16 had gone up 18 percent last year. Because when they  
17 look at their business models, you know, they have key  
18 things, they're trying to drive sales. Even though  
19 they're looking at costs, they don't realize how much  
20 the energy cost is creeping up and eating into their  
21 margins.

22           So, once again, it's another one of those  
23 conversations to have with them about energy efficiency  
24 measures.

25           COMMISSIONER MC ALLISTER: Anybody else on the

1 panel want to --

2 MR. BARKS: I just wanted to --

3 COMMISSIONER MC ALLISTER: Okay, great.

4 MR. BARKS: -- add a couple of comments about  
5 what Don spoke about there.

6 You, and a couple of the other speakers,  
7 actually sort of filled out what I was talking about on  
8 that measurable.

9 MR. LANGSTON: Right.

10 MR. BARKS: It needs to be measurable. And an  
11 additional comment to Mazi, in how you would do that  
12 is -- I'll use an aside here to describe a way to make  
13 something measurable.

14 A number of years ago, I was working with a  
15 large refrigeration company, in the country, and this  
16 refrigeration company was using between 30 and 100  
17 thousand dollars a month at most of their plants, and  
18 they had about 30 plants within North America. And they  
19 were owned by a company that was based in Hong Kong.

20 And some accountant in Hong Kong started looking  
21 at the bills each month, \$30,000 here, \$100,000 there.  
22 And he went to the CAO and he pointed out the huge  
23 amount of money that was being spent.

24 And without talking to anybody, you know, just  
25 kind of on the spot, the accountant then, the CAO made

1 the decision that this large company in North America  
2 was going to cut their energy costs 50 percent in the  
3 next year. A very big number.

4 So, they called the president, you know,  
5 responsible for the refrigeration side in the U.S. and  
6 they told him that he had a year to reduce the energy  
7 cost in all of his plants by 50 percent if he wanted to  
8 continue to have a job.

9 So, they hired a professor at the University of  
10 Washington, and they analyzed their facilities and they  
11 determined where the energy was being used.

12 And then they hired, you know, the company that  
13 I was working for to upgrade their facilities around the  
14 country to get that energy savings.

15 And, basically, it was a thorough analysis of  
16 the plant and the goal was pretty straight forward.  
17 Okay, you're going to save 50 percent. We're not going  
18 to tell you how to do it. You know, here's some  
19 research, here are some ideas.

20 You know, my comments to the Energy Commission  
21 and to Mazi, earlier, is you're a great resource. You  
22 have a lot of information that can be shared with people  
23 on how to save energy, but you don't necessarily have to  
24 tell them how. Set a goal. What is that goal?

25 And for an existing building, are you setting an

1 existing building standard for a project of 10 percent,  
2 or 20 percent? What is the goal for that specific  
3 project and then measure to that project -- or measure  
4 to that goal.

5           So, you know, kind of coming off of your  
6 comments and some of the other comments that were made  
7 earlier about outcome measures. If you can somehow  
8 create the -- the code is the code. But there might be  
9 ways that you can link the compliance with measurable  
10 aspects of a project, where maybe they don't do all the  
11 measures, but they accomplish a given number of things  
12 that will accomplish 10 percent savings in energy for  
13 that building. Well, that's what the code -- or that's  
14 what the permit requirement is for that particular  
15 project.

16           And try to somehow incorporate that into the  
17 code so that people have, you know, a definite goal to  
18 reach for, but you don't necessarily tell them how to do  
19 it. You know, they can borrow from all of the different  
20 measures that are available within the code, as to what  
21 will be most effective for that given project.

22           COMMISSIONER MC ALLISTER: Thanks. Go ahead,  
23 Wes.

24           MR. SULLENS: Can I follow up to that? I think  
25 that's absolutely right. But we're kind of edging on

1 the limits of jurisdiction. So, after a certificate of  
2 occupancy the building official technically has no  
3 responsibility, unless you're pulling another permit.

4 So, how do you -- I guess I'm asking, is the  
5 building department the right place to be doing this? I  
6 guess that's a huge question to ask.

7 But, or are there ways to get third parties or  
8 some other way to enforce it? Because, really, with  
9 this conversation we're coming up to the limits of what  
10 the code can do.

11 COMMISSIONER MC ALLISTER: Yeah, and not just  
12 the local level, but the Commission, right. I mean, to  
13 some extent code is a dance between sort of -- you know,  
14 it's sort of we want to be uniform and we want to be  
15 simple, but we also want to make sure that we're  
16 capturing the good opportunities out there, which aren't  
17 always the same across the State and aren't always  
18 simple.

19 So, I think -- and incorporating a -- I still  
20 can't really get my head around incorporating, in code  
21 itself, a performance-based approach. So, that's a  
22 conversation I think that's really -- not performance-  
23 based in the way we have it, but this kind of an  
24 outcome-based approach where your sort of measured  
25 performance, you know, and having that code. That would

1 require sort of a new approach that, I think, define  
2 what that specifically means.

3 So, Mazi, go ahead.

4 MR. SHIRAKH: But isn't that what the  
5 performance pack is? I mean, it doesn't tell people how  
6 to comply. You can -- you know, the performance  
7 software establishes a baseline, based on the  
8 prescriptive measure, that is true. But it doesn't tell  
9 you what you have to use. You know, it basically comes  
10 with an EUI. You know, the Btu per square foot, per  
11 year.

12 And as long as your design meets or beats that  
13 criteria, you can comply and it doesn't tell you, you  
14 know, what specifically what to use. You can do  
15 tradeoffs between windows, higher performance equipment.  
16 Isn't that what that is, essentially?

17 COMMISSIONER MC ALLISTER: Well, aren't you  
18 talking about actual consumption versus modeled  
19 consumption?

20 MR. BARKS: I'm speaking actual. Yeah, the  
21 performance approach is excellent for determining a  
22 method to reach compliance, but it doesn't actually  
23 measure compliance.

24 So, you can have beautiful documentation that  
25 shows complete compliance and have a building that is

1 absolutely horrible energy-wise, just terrible. So,  
2 there's a disconnect there between we can document it or  
3 we can prove it.

4 Proving is, I think, what Don is talking about.

5 MR. LANGSTON: Right.

6 MR. BARKS: Proving that it works and give some  
7 flexibility in accomplishing that. But we still have to  
8 have documents that show what the goal is. So, we still  
9 need registries, we still need documents.

10 But instead of maybe being a long list of  
11 compliance features that are going to be like a  
12 specification for the project, it might be a simple,  
13 one-page goal that says we are going to improve the  
14 efficiency of this building 15 percent, on this project.

15 Well, now, Don can go and he can measure the  
16 existing current efficiency of that building. And then,  
17 at the end of the project, somehow it can be measured to  
18 show that the efficiency was actually gained and make  
19 those the reporting documents. You know, a pre-document  
20 that says this is what it is now, and this is a post-  
21 document that says we've accomplished this.

22 And that's a different -- it's a different way  
23 of doing it. You can continue to collect documents, but  
24 they're going to be different documents. And it might  
25 be something that I think -- I do a lot of commercial

1 plan review, myself. And I see the issues with the  
2 commercial plan reviews that there's a lot of disconnect  
3 on them, and there is no measurement.

4 And showing that you're going to take a  
5 nonresidential project and make it comply, I don't think  
6 the documents really do that right now. You know, I see  
7 a lot of these documents and I don't think that they do  
8 that.

9 Measuring, having a set goal and a measured  
10 outcome is a much better way to approach that, I think,  
11 than throwing more documentation at it.

12 MR. BACHAND: I have a mixed question/comment to  
13 all of this discussion. Charlie Bachand, from CalCERTS,  
14 again.

15 The outcome-based, as-built model, as Brian was  
16 talking about, outcome-based as you were discussing,  
17 what you were discussing just now, that seems to me to  
18 dovetail very closely with sort of the original intent  
19 of the whole-house rating.

20 And I realize that this applies to residential,  
21 but we can extend it to commercial, as well. Where you  
22 did have a test in and a test out. And while you didn't  
23 have, say, smart meter data, necessarily, to prove your  
24 efficiency gains, you did have somebody that was  
25 documenting. Previously, they had a 9 SEER air

1 conditioner, and no insulation in the attic, and now  
2 they've got 13 SEER and the correct level of insulation  
3 in their attic.

4           And so, I think that this idea of streamlining,  
5 it dovetails really nicely with the work that's being  
6 done in AB 758, and with whole-house ratings. Thank  
7 you.

8           COMMISSIONER MC ALLISTER: And I would just, you  
9 know, reiterate that in all of the above, definitely in  
10 the whole house and in code, sort of figuring out ways  
11 to make it not such a hassle that nobody wants to do it  
12 is really, really important.

13           You know, and having that customer see the value  
14 of that, you know, that they're going to get what  
15 they're paying for and here's what they can point to, to  
16 show that. You know, and I think that's the challenge  
17 is kind of having it both ways, in a way.

18           Go ahead, Brian.

19           MR. SELBY: I want to point out one other thing.  
20 A lot of compliance for single measure change outs  
21 aren't done using the performance approach. So, it does  
22 very much limit that to have some sort of performance  
23 goal.

24           So, most HVAC change out measures are done using  
25 the prescriptive approach, which is a very simple

1 approach.

2           So, you know, if improvements were to be made  
3 or, you know, it could be a condition to further monitor  
4 as feedback, another source to data mine for the Energy  
5 Commission to provide validation that these prescriptive  
6 measures are appropriate for this type of energy savings  
7 and we are actually achieving them.

8           COMMISSIONER MC ALLISTER: Great, okay.

9           I want to go to the blue cards, now, so I've got  
10 six. Ken Whiting. And I'm assuming all six are still  
11 here. Go ahead. Just push the green light there.  
12 There you go.

13           MR. WHITING: Okay. All right, I'm Kent Whiting  
14 from Stack Lighting. And I just want to thank the  
15 Commission for giving us the opportunity to comment on  
16 the existing building energy efficiency standards here.

17           A little background. Stack, on how Stack  
18 Lighting is in alignment with AB 758 and the Governor's  
19 goals. We're a California-based company. We develop  
20 state-of-the-art, commercially available, autonomous  
21 daylight harvesting indoor lighting technology. It  
22 improves energy efficiency an additional 50 percent  
23 beyond conventional LED lights.

24           The autonomous bulbs automatically respond to  
25 changes in their environment by adjusting brightness and

1 color temperature without any user intervention.  
2 Thereby, improving the efficiency without needing to do  
3 any retrofitting to any of the light fixtures.

4 It provides an accessible and affordable  
5 technology. It allows for a wide distribution and  
6 delivers immediate energy savings, which will help carry  
7 out AB 758 and the Governor's initiative to double  
8 energy efficiency by 2030.

9 I just want to comment that as the Commission  
10 implements and develops standards for existing  
11 buildings, it's important to maximize the accessibility  
12 for all homeowners, renters, businesses to deploy state-  
13 of-the-art technology and energy efficiencies which  
14 are -- sorry, with technology that's rapidly evolving in  
15 order to recognize the benefits of innovative  
16 technologies that will play an important role in helping  
17 California meet its aggressive energy efficiency goals.

18 We need to allow for new technology to help meet  
19 these goals. So, incorporating, again, this available,  
20 currently available autonomous daylight harvesting  
21 lighting into the State standards and model ordinances  
22 would help meet that goal.

23 We look forward to working with the Commission  
24 and other stakeholders, and we'll file additional  
25 written comments to the docket. Again, thank you.

1           COMMISSIONER MC ALLISTER: Great. Thanks for  
2 being here.

3           George Nesbitt.

4           MR. NESBITT: George Nesbitt, HERS rater.  
5 Without building permits, I think we can assume mostly  
6 noncompliance. With building permits, we can't really  
7 assume that great a compliance.

8           As a contractor, I've almost never had to file a  
9 CF1R. I have never filed an installation certificate or  
10 a HERS verification.

11           As HERS rater, there's been maybe a very minor  
12 uptick in calls with 2013.

13           As an energy consultant, do a CF1R with HERS  
14 verification, put it in the registry and nothing  
15 happens.

16           So, we talk about -- well, you know, CF1Rs don't  
17 match the plans. And what's in the CF1R doesn't get put  
18 on the plans. And then, what gets built doesn't match,  
19 either.

20           I mean, sadly, this is how our industry works,  
21 including when we get to large projects, and there's  
22 architects, and engineers, and contractors who have been  
23 doing it for 40 years, and they've never done up in an  
24 attic to see if the insulator actually put anything in  
25 there, yet they paid them.

1           This is why most of the utility rebate programs  
2 have us HERS raters out there, verifying all the  
3 measures. Where it fails is we're not necessarily  
4 checking things like window areas, wall areas.  
5 Supposedly, that's been done at plan check. But I can  
6 tell you most of the plan checks probably don't look as  
7 hard at some of that stuff, as they do others.

8           And this is also why we have a HERS rating  
9 system. I mean, we -- it's come up, you know, we -- and  
10 some of the utility programs actually are requiring as-  
11 built of the energy modeling. So, from the HERS rater,  
12 they actually go back and will adjust things to kind of  
13 see on paper what it is.

14           The thing is, with the code we can get around so  
15 much of the performance testing, the things that we know  
16 make things work right.

17           And as far as permits, permits can be as easy as  
18 walking in, filling out a one-page form, providing no  
19 plans for your HVAC change out, or rewire a whole house,  
20 or replumb a whole house. You just tell them how many  
21 outlets. No drawings, nothing. It can be that simple,  
22 to it taking me ten weeks and three trips to pull a  
23 permit for a PV system in the City of Berkeley. How  
24 much did that cost?

25           The plan checker, obviously, didn't understand

1 what he was looking at because some of his comments kind  
2 of proved that. And none of it changed what I did. I  
3 didn't do anything differently.

4 So, there can be incredible cost to doing  
5 business and it provides very little, yet we also know  
6 there are plenty of people out there doing bad work.  
7 So, that's why we have it.

8 And then just a comment about the process of  
9 this workshop. This and the plug load workshop both  
10 being half day. Sort of you slam all the presentations  
11 together and then comment at the end, I find even  
12 sitting in the room to be extremely boring.

13 Honestly, this should have been an all day, ten  
14 o'clock on. Really, we've got so many great minds,  
15 there really needs to be more room for comment from  
16 others, instead of just slamming all the presentations.

17 COMMISSIONER MC ALLISTER: Thanks for your  
18 comment. Please submit written, if you have additional  
19 things to say. Really appreciate it.

20 Sebastian, is it Acevedo, maybe? I can't really  
21 read the handwriting here. Sebastian, anybody submit a  
22 blue card named Sebastian? No.

23 Okay, Jonathan Changus. Huh-oh, saw him back  
24 there before.

25 Bob Wiseman. Great.

1           MR. WISEMAN: Hello, thank you. It's kind of  
2 hard, so much information it's hard to know where to  
3 start.

4           But I am the Chairman of the Institute of  
5 Heating and Air Conditioning Industries, IHACI. I'm  
6 also a C-20 contractor in the State of California, doing  
7 residential and commercial work.

8           And, you know, this is great conversation. I  
9 think we're missing, you know, one key component.  
10 Because most of the conversation here started with, you  
11 know, once something gets into the building departments.  
12 Okay, that was the vast majority of this conversation,  
13 okay.

14           Our problem is the jobs that don't get into the  
15 building departments, that don't get that far. We have  
16 an 80-10-10, you know, situation, where 10 percent of  
17 the contractors are following the rules. The other 80  
18 percent, you know, are kind of in the middle, and you  
19 have 10 percent who are not ever going to follow the  
20 code, okay.

21           It's that 80 percent that we need to try to move  
22 and that's where the Energy Commission can have its  
23 biggest impact, okay. Obviously, once something makes  
24 it into the building department, it has to be correct.  
25 It should be fairly simple to go through.

1           But, you know, from my perspective it's -- it's  
2 morally wrong to have a contractor, ask him to do  
3 something and violate code in order to stay in business.  
4 And that's the reality of where we are today. And  
5 that's wrong on many levels. We should not, as a State,  
6 be asking people to do that.

7           Now, obviously, we can rationalize, oh, you  
8 know, if we're not -- you know, if we're not pulling  
9 permits, you're just breaking the law. Oh, we have to  
10 pull permits. Well, of course we do. You know, but  
11 that's not reality. That's not the world we live in.  
12 And we've made it much too difficult, for many reasons,  
13 in order to do that.

14           And I'll just throw a couple of things out  
15 there. You've mentioned the cost, Commissioner, you  
16 know, a simple furnace that used to cost \$2,200 is now  
17 \$3,000. That's a problem.

18           But, you know, if there's a level playing field  
19 and all contractors have to do the same thing, the cost  
20 is irrelevant. You know, as long as it is enforced.

21           A statewide permitting system for a single  
22 change out of a system, I think is imperative. Okay,  
23 there are hundreds of building departments with  
24 different requirements, okay. If we have a single, for  
25 a simple change out, a simple -- you know, a simple

1 form, something easy to do, because that's the vast  
2 majority of the work that we do, that is what has to  
3 happen.

4           You know, and going across all these different  
5 jurisdictions, trying to get everything, you know,  
6 correct for different jurisdictions, the cost involved  
7 with the permitting is huge, okay. It needs to change.  
8 We don't start tracking equipment when it comes to the  
9 building departments, we start tracking it long before  
10 it gets to the building departments. Okay, it has to  
11 happen.

12           Increasing fines to contractors. Contractors  
13 don't care if they get fined, because the fines are so  
14 low and they have almost no opportunity to get caught,  
15 okay.

16           One other thing, I know I'm done, cities don't  
17 see the value in permits, either. I haven't heard it  
18 mentioned here. I've talked to many building  
19 departments, you know, and say, well, why don't you have  
20 somebody driving around, going out and finding all this  
21 work that's not being permitted? There's no incentive  
22 for them to do that.

23           Some cities do. They should be used as models  
24 to be compared with the rest of the State. And, I mean,  
25 I know there's one city that if I don't pull a permit,

1 they put firetrucks on either side of the street and I'm  
2 not getting out.

3 COMMISSIONER MC ALLISTER: I'm not going to  
4 speculate.

5 MR. WISEMAN: And that's followed. It should be  
6 followed. So, anyway, thank you very much.

7 COMMISSIONER MC ALLISTER: Thanks for your  
8 comments.

9 Alima Silverman.

10 MS. SILVERMAN: Hi, I'm Alima Silverman. I'm an  
11 architect and a LEAD Accredited Professional. I work at  
12 Tierra Resource Consultants, and we're an energy  
13 consulting firm. I'm no longer doing design work in  
14 architecture, but part of our business is advising  
15 utilities, advising municipalities, and also advising  
16 business owners how to retrofit existing buildings.

17 So, I feel, personally, like this is really an  
18 important part because so many existing buildings are  
19 out there. The codes more or less cover new  
20 construction. And we just, in order to reduce  
21 greenhouse gases and to reach all of our other goals  
22 that we have here, now, in California, we really have to  
23 deal strongly with existing buildings.

24 So, I don't really have a plan, but I'm just  
25 going to reiterate some things that were said today,

1 that I feel are most important.

2 One thing that Bob said, linking the cost of  
3 ownership and asset value to energy efficiency is really  
4 critical to building owners. And I know at one of the  
5 previous workshops there was a gentleman representing  
6 realtors and building owners here, who said, well, we  
7 should set our goals lower because it's just too hard  
8 for them to comply.

9 But I don't agree with that. I think we should  
10 really set high goals. And I think it's very possible.  
11 There's a paid-from-savings approach, there are other  
12 approaches for building owners to make small increments  
13 but then, eventually, at times of big capital  
14 investments go for the high efficiency, and really  
15 improve their buildings. We just have to do it.

16 So, we're hoping to support the AB 758 efforts  
17 with both owners and municipalities. I think what Don  
18 said, over here, about measuring performance is also  
19 really critical. That if we really want to get the  
20 buildings performing so that we're going to reach our  
21 goals, measuring is very critical.

22 So, those are my comments, thank you.

23 COMMISSIONER MC ALLISTER: Thank you, very much.

24 MR. SALAS: Good afternoon. My name is Adrian  
25 Salas, from San Diego Gas & Electric. I'm representing

1 the Statewide Codes and Standards Team.

2 First, thanks to the Commission for keeping this  
3 issue top of mind and moving this conversation forward  
4 with discussions like this.

5 Sir, you had asked what the ACE was, earlier  
6 today. And I wanted to add to some of the user feedback  
7 that Mr. Goodwin provided.

8 The Energy Code ACE, is an online, completely  
9 free resource developed by the Investor-Owned Utilities'  
10 Codes and Standards Program, with public funds, to  
11 assist with referencing, building to and complying with  
12 part 6 requirements. There is a hyperlinked reference  
13 tool, code trigger sheets that informs ACE, installation  
14 guides, and in-person and online training information,  
15 all branded under the ACE tool's umbrella.

16 The Energy Code ACE team is thankful for the  
17 Commission, the Commission's staff's willingness to  
18 partnering with us. And as we look forward to  
19 continuing to collaborate on the issues discussed today,  
20 the Energy Code ACE team also looks forward to  
21 supporting the Commission on new compliance tools, as  
22 our program implementation plans allow. Particularly,  
23 in the areas of digitizing compliance forms and  
24 tailorizing compliance improvement tools, as Mr. Selby  
25 brought up, specific to the different market actors

1 involved with effective compliance as we increase the  
2 focus on energy efficiency opportunities in existing  
3 building stocks.

4 So, thank you.

5 COMMISSIONER MC ALLISTER: Thanks for being  
6 here.

7 I think that's it. I have a Sebastian, I think  
8 it's Acevedo, and Jonathan Changus. Neither one of  
9 them, okay. Great.

10 All right, is there anybody else who wants to --  
11 who did not submit a blue card, but who wants to say  
12 something here? I see a lot of folks listening in and  
13 that's great. I hope it was interesting for people.

14 I definitely, within the constraints that we  
15 have and, you know, we have a lot of IEPR workshops. We  
16 have a lot of workshops, generally, in many, many  
17 different parts of the marketplace.

18 Come on up, I'll just finish my comments here.  
19 One more commenter here. Oh, do we have one on the web,  
20 too?

21 MS. BAILEY: We do have one comment that  
22 somebody had actually just asked me to read, a question.

23 COMMISSIONER MC ALLISTER: Oh, great, okay. So,  
24 you know, I'll cut my comments short and pick it up  
25 later.

1           So, why don't we -- the gentleman over here, do  
2 you want to say something? And then we'll get the  
3 commenter from the web.

4           MR. CHISTI: Ishtiaq Chisti, with Southern  
5 California Edison. I just wanted to make one point. I  
6 think, you know, I definitely agree with what Adrian had  
7 just mentioned about the Energy Code ACE, and  
8 representing the statewide team.

9           But as you go and develop the data repository,  
10 one thing I think you probably want to keep in mind is  
11 privacy issues and data security. That was my only  
12 point.

13           COMMISSIONER MC ALLISTER: Okay, thanks for  
14 being here.

15           And one more comment from the phones?

16           MS. BAILEY: Yeah, there was a question from  
17 Steven Long, for Cynthia Moore, if she's still on the  
18 line.

19           His question was, "Some contractors don't offer  
20 pulling permits by default. Have you considered a  
21 mystery shopper program, where contractor bids would be  
22 collected to confirm where contractor-specific,  
23 noncompliant issues exist?"

24           MS. MOORE: Could you read that --

25           COMMISSIONER MC ALLISTER: Cynthia, are you

1 still there?

2 MS. MOORE: I am here. Could you repeat that  
3 question?

4 COMMISSIONER MC ALLISTER: Hey. Could you read  
5 that again, Stephanie?

6 MS. BAILEY: Sure. Yeah, it says, "Some  
7 contractors don't offer pulling permits by default.  
8 Have you considered a mystery shopper program where  
9 contractor bids would be collected to confirm where  
10 contractor-specific, noncompliance issues exist?"

11 MS. MOORE: A secret shopper program. No, I  
12 don't think we've considered that. We have done  
13 different stings on licensed contractors to confirm  
14 their compliance, so they're usually based on  
15 complaints.

16 COMMISSIONER MC ALLISTER: So, stings, yeah.

17 MS. MOORE: Am I answering the question  
18 properly?

19 COMMISSIONER MC ALLISTER: Yeah, so a sting,  
20 could you describe what a sting is? Is that sort of you  
21 find out about a -- well, go ahead and I'll let you  
22 describe it.

23 MS. MOORE: Right. What we'll do, usually our  
24 stings are with non-licensed contractors, but we have  
25 done them with licensed contractors, as well. Where we

1 have a house that someone donates. And, usually, it's  
2 an elderly person that we have pose as a homeowner. And  
3 we would have an industry expert come out and inspect  
4 the air conditioner, do the HVAC, some sort of energy  
5 system to ensure that it is completely functional,  
6 everything's working. And then we would have  
7 contractors out to come and do bids and see if --  
8 there's many different things that we can be looking  
9 for.

10 But sometimes they'll tell the elderly person,  
11 hey, you know what, we don't need to do permits because  
12 it's going to cost you too much more, I don't pull  
13 permits, things like that.

14 That's probably the closest thing we've done to  
15 what the question is.

16 COMMISSIONER MC ALLISTER: It sounds pretty  
17 close, yeah. Great, well, thank you very much.

18 Let's see, so I would very much encourage folks  
19 to submit written comments, both those on the panel, if  
20 there are things that you weren't able to get to,  
21 please. But, also, just all stakeholders interested in  
22 this topic. I mean, I see many of you, with a lot of  
23 expertise in the room, who have been listening patiently  
24 and, hopefully, formulating your written comments, the  
25 structure of y our written comments.

1 MS. BAILEY: Did we want to open the phone lines  
2 up, as well, so if there's anybody --

3 COMMISSIONER MC ALLISTER: Oh, sure. Yeah, go  
4 ahead. Go ahead.

5 MS. BAILEY: So, if you are participating via  
6 WebEx, and you're on the phone, and you had a comment or  
7 question, feel free to go ahead and speak now.

8 Hearing none.

9 COMMISSIONER MC ALLISTER: Sounds like none.  
10 And, Stephanie, you said what the date was that comments  
11 are due by. Can you maybe say that once more?

12 MS. BAILEY: Yes. Written comments are due by  
13 August 10th. There are instructions in the notice on  
14 filing those and there also are instructions here on the  
15 screen.

16 COMMISSIONER MC ALLISTER: Great. And we heard  
17 a lot of ideas today and I'm appreciative of everybody  
18 on the panel. Thank you very much for taking your day  
19 to be with us. I know everybody has many, many things  
20 going on and we value your participation here very much.

21 I certainly do. And, you know, pushing this  
22 existing building sort of problematic forward is  
23 probably my highest priority here at the Commission.  
24 And figuring out ways to do that in ways that work in  
25 practice, and that are most likely to get out there and

1 have some traction and scale is really what, you know,  
2 I'm looking for and staff is looking for. You know, and  
3 we can't really claim success if we have a perfect  
4 system in theory, but it doesn't go out there and really  
5 move the needle.

6           So, I think that's the difficulty of doing good  
7 public policy is figuring out, you know, okay, what do  
8 we want? And then, really rolling up our sleeves and  
9 getting dirty to figure out what the marketplace is  
10 really going to do and not do.

11           And I really appreciate all your efforts because  
12 you're out there on or nearer, certainly, to the front  
13 lines than I am.

14           We heard a lot today. I guess I came away with  
15 a couple of top themes, one of which was local  
16 governments -- I mean, we all knew this, I think, local  
17 governments are the key in many, many ways here. They  
18 have the critical jurisdiction over the building stock.  
19 We've got to figure out ways to assist them.

20           And, you know, I think where we may not have  
21 complete consensus here is how much uniformity we should  
22 compel them to have in terms of their processes.  
23 Because there's a lot of don't-tread-on-me jurisdictions  
24 out there that I -- you know, without a clear statutory  
25 mandate, it's really hard to go out there and say, hey,

1 what a good idea, you should be like your neighbor.

2 Well, you know, it doesn't always work that way.

3           So, how do we kind of get that discussion or at  
4 least get the bulk of the jurisdictions where the  
5 population is, in the State, to adopt similar types or  
6 just effective types of processes for their permitting  
7 and compliance.

8           And then, second, education all up and down. I  
9 really appreciate the ACE team and that project. I  
10 think it's really having an impact. I appreciate  
11 everybody who is using it and developing it.

12           But education really needs to apply to all  
13 stakeholders, from the customer on up. And so, how do  
14 we create the system? And I mean we, broadly, not the  
15 Energy Commission, necessarily. But how do we make sure  
16 that without requiring everybody to be an energy expert,  
17 which is a fate I really would not wish on most  
18 people -- you know, those of us who are in the field  
19 love it, but that's not everybody, I recognize.

20           So, you know, there's no need for that. We need  
21 to set up the system so that the value is perceived but,  
22 you know, without necessarily getting into all the  
23 details. And so, how do we tilt our education, develop  
24 the kind of tools that target the right person, with the  
25 right message.

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

