

DOCKETED

Docket Number:	15-IEPR-11
Project Title:	Climate Change
TN #:	205692
Document Title:	Transcript of the July 24, 2015 IEPR Commissioner Workshop on the State of the Science on Scenarios to Deeply Reduce Greenhouse
Description:	IEPR Workshop on the State of the Science on Scenarios to Deeply Reduce Greenhouse Gas Emissions from California's Energy System.
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/12/2015 8:55:32 AM
Docketed Date:	8/12/2015

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:) Docket No. 15-IEPR-11
)
2015 Integrated Energy)
Policy Report)

IEPR COMMISSIONER WORKSHOP
ON THE STATE OF THE SCIENCE ON SCENARIOS
TO DEEPLY REDUCE GREENHOUSE GAS EMISSIONS

CALIFORNIA ENERGY COMMISSION FIRST FLOOR,
ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

FRIDAY, July 24, 2015
9:30 A.M.

Reported by:
Kent Odell

APPEARANCES

Commissioners Present

Robert B. Weisenmiller, Chair, CEC
Andrew McAllister, Lead Commissioner for the 2015 IEPR
Karen Douglas

Staff Present

Heather Raitt, IEPR Program Manager
Ivin Rhyne
Guido Franco
Sonya Ziaja

Also Present

Michael Picker, President, California Public
Utilities Commission
Liane M. Randolph, Commissioner, California Public
Utilities Commission
Scott Murtishaw, California Public Utilities Commission
Keith Casey, California Independent System Operator
Michael E. Rossi, Senior Advisor, Office of the Governor
Jim Williams, E3
Trieu Mai, NREL
Ray Williams, PG&E
Paul Hibbard, Analysis Group, Inc.
Brian Tarroja, UC Irvine
Jimmy Nelson, Union of Concerned Scientists
Duncan Callaway, UC Berkeley
Solomon Hsiang, UC Berkeley

I N D E X

	<u>Page</u>
Introduction	
Heather Raitt, Integrated Energy Policy Report (IEPR) Program Manager	5
Opening Comments	
Commissioner Andrew McAllister, Lead Commissioner for the 2015 IEPR	7
Chair Robert B. Weisenmiller, Energy Commission	8
Commissioner Karen Douglas, Energy Commission	12
Michael E. Rossi, Senior Advisor, Office of the Governor	13
Commissioner Liane M. Randolph, California Public Utilities Commission	14
Scott Murtishaw, California Public Utilities Commission	14
Keith Casey, California Independent System Operator	17
Overview of Past Research Activities	
Research Findings for the Electricity Sector for the USA, the US West, and California - Trieu Mai, NREL	20
Main Lessons from the Recent E3 Studies for California, USA, and the United Nations - Jim Williams, E3	83
Recent Research Findings and a Look to the Future: Transition to a Low Green House Gas (GHG) Energy Future	
Implementing EPA's Proposed Clean Power Plan in California and the WECC - Impacts of State GHG Program Design - Ray Williams, PG&E	40
The Economic Impacts of the Regional Greenhouse Gas Initiative on Nine Northeast and Mid-Atlantic States - Paul Hibbard, Analysis Group, Inc.	61

I N D E X

	<u>Page</u>
Recent Research Findings and a Look to the Future: Transition to a Low Green House Gas (GHG) Energy Future (Contin.)	
Transition to a Low Carbon Energy Economy: Air Quality Considerations - Brian Tarroja, UC Irvine	112
Power System Operational Flexibility at 50 Percent Renewable Energy in California: The Role of Non-Fossil Flexibility in California's Clean Energy Future - Jimmy Nelson, Union of Concerned Scientists	135
Break	
Resource and Revenue Potential of California Residential Load Participation in Ancillary Services - Duncan Callaway, UC Berkeley	161
Economic Implications of Climate Impacts on Energy: Adding Economics to Energy Scenarios - Solomon Hsiang, UC Berkeley	186
Developing the Next Generation of Energy Scenarios for California - Guido Franco and Sonya Ziaja, Energy Commission staff	202
Public Comments	214
Adjourn	223
Certificate of Reporter	224
Certificate of Transcriber	225

1 P R O C E E D I N G S

2 JULY 24, 2015

9:34 a.m.

3 MS. RAITT: All right; good morning.

4 Welcome to today's IEPR Workshop on the State of
5 the Science on Scenarios to Deeply Reduce
6 Greenhouse Gas Emissions from California's Energy
7 System.

8 I'm Heather Raitt, the Manager for the
9 IEPR. I'll begin by going over a few
10 housekeeping items. The restrooms are in the
11 atrium. A snack room is on the second floor.
12 And if there's an emergency and we need to
13 evacuate the building, please follow staff to
14 Roosevelt Park which is directly across the
15 street, diagonal to the building.

16 Today's workshop is being broadcast
17 through our WebEx Conferencing System and parties
18 should be aware that you're being recorded.
19 We'll post an audio recording on the Energy
20 Commission's website in a few days and a
21 transcript in about a month.

22 Today we'll work through the lunch hour,
23 but plan to take a brief break at about noon. At
24 the end of the day, there will be an opportunity
25 for public comments and we're asking parties to

1 please limit their comments to three minutes.

2 For those in the room who'd like to make
3 comments, please fill out a blue card and give it
4 to me. When it's your turn to speak, please come
5 to the center podium and identify yourself.

6 For WebEx participants, you can use the
7 chat function to tell our WebEx Coordinator that
8 you'd like to make a comment during the public
9 comment period and we'll either relay your
10 comment or open the line at the appropriate time.
11 And we'll take phone-in only participants at the
12 end.

13 If you haven't already, please sign in.
14 At the entrance are the materials for the
15 workshop. Written comments are welcome and due
16 on August 7th, and the information for how to
17 submit comments is on the workshop notice.

18 And with that, I'll turn it over to the
19 Commissioners. Thank you.

20 COMMISSIONER MCALLISTER: Thanks,
21 Heather. Thanks everyone for being here on a
22 Friday, which is not a typical day for workshops,
23 so I really want to acknowledge the staff and we
24 have really quite a robust and frequent workshop
25 schedule these days and I really want to commend

1 the IEPR staff for keeping the trains moving and
2 doing it very well.

3 My name is Andrew McAllister, I'm the
4 Lead Commissioner on Energy Efficiency on this
5 year's IEPR, and mainly those two things are what
6 I focus on. And I want to thank, well, this
7 topic is incredibly important and I'll make a
8 couple comments about that, obviously I want to
9 first thank our other representatives here on the
10 dais, Chair Weisenmiller and Commissioner Douglas
11 here from the Commission, Mike Rossi from the
12 Governor's Office and GO-Biz, Liane Randolph and
13 President Picker's office via Scott Murtishaw
14 from the PUC and Keith Casey from the ISO.

15 Really, I think the presentations and
16 just the presence of all of us here highlights
17 how important this topic is. I mean, climate
18 change and its impacts are driving much of energy
19 policy and increasingly water policy, agriculture
20 policy, lots of -- it's really an organizing
21 principle in the state of increasing importance
22 and it's critical to get it right. And I think
23 that really motivates including this topic as a
24 central piece of the IEPR to create that solid
25 foundation for all of our agencies and all of our

1 efforts to be coordinated and be based on sound
2 science. So with that, we have a heavy schedule
3 and I want to give everyone the opportunity to
4 speak. Thank you all for being here, both those
5 in the room and out there on the Web. And I'll
6 pass the dais to Chair Weisenmiller.

7 CHAIRMAN WEISENMILLER: Hi. I wanted to
8 provide a few comments for context today. First,
9 I wanted to thank everyone for their patience.
10 We originally were hoping for a July 9th date and
11 because we were dealing with basically the
12 renewables stakeholder process, we had to
13 reschedule this, and that's why it ended up on a
14 Friday.

15 The other thing I was going to say was
16 that certainly this is a very good opportunity, I
17 guess following on Andrew's footsteps I will say
18 I'm the Chair, I'm the Scientist on the
19 Commission, I'm responsible for climate R&D and
20 electricity and natural gas planning; so, anyway,
21 just about everything in this forum today I will
22 be heavily involved in.

23 First, I wanted to note just basically I
24 think our staff, particularly Guido, are looking
25 to the third climate assessment. What we've

1 done, sort of a body of work over a long time
2 that looks first at what the impacts of the
3 emissions associated for energy production are on
4 our climate, and we also look at the environment
5 more generally, but this is very specific on the
6 climate, and also looking at the impacts of our
7 disruption of the climate on our energy system.
8 And that's the basic message that's really come
9 out from that. And so that's one of the real
10 threads that this will be building on.

11 The other thing is that we, the energy
12 principles, so I should say energy principles, I
13 mean, looking around the room on who is at the
14 dais, we have the PUC, we have the ISO, we have
15 the Governor's Office, we have the Energy
16 Commission, so it's certainly part of that group,
17 some of whom were very involved in developing the
18 Governor's Greenhouse Gas Goals, and we did that
19 using Pathways model by E3 with some assistance
20 from LBL. And I think if you look at the pathway
21 model and what that exercise did nicely, it runs
22 a bunch of spreadsheets, but it has a piece that
23 models the power system, a piece that models the
24 transportation system, building and appliances,
25 certainly the fueling infrastructure,

1 particularly biomass. It looks at the
2 interaction among those pieces. Now, frankly
3 it's not a great model of any of those pieces,
4 you know, and probably the best example is that I
5 was at a workshop yesterday where Caltrans was
6 meeting, with saying their 2040 transportation
7 plan is a mainframe model that takes 10 hours to
8 run. So, there is a transportation element in
9 this model, but it is not at the level of detail
10 of the Caltrans model.

11 Certainly if you look at the power part,
12 it's not at the level of PLEXOS, it's not at the
13 level of a commitment model, it's not a
14 particularly sophisticated model, but at least it
15 can show us the interactions.

16 Similarly, we have a very complicated
17 building and appliance demand forecasting model.
18 PUC has a very complicated energy efficiency
19 potential model. So I guess what I'm saying is
20 we all have very complicated models; the purpose
21 here is not to develop a model that rivals any of
22 those complicated pieces, but to really focus on
23 the interactions, and particularly the
24 interactions in the climate context.

25 And so I think one of the things with

1 instruction today, I was trying to get it down to
2 a half a day, and it's not commenting on the
3 importance, but part of it there's a lot of
4 research out already that sort of provides some
5 of the backdrop, and certainly we encourage
6 people to look at some of that, and that was
7 certainly my feeling as opposed to listening to
8 it again.

9 So on Pathways E3 model, there's a lot
10 out there. I think Mike Rossi and I at this
11 point, after going through last year, could give
12 the E3 presentation and we could probably also
13 include the questions they don't want to answer,
14 but anyway, and certainly when you look at model
15 comparisons there was a very good couple days of
16 workshops at U.C. Davis comparing those models,
17 so again I encourage people to look at that
18 record. You know, sort of the utility
19 perspective on the modeling, certainly the E3 40
20 percent study with the reflex model is a pretty
21 good backstop on where the utilities are coming
22 at.

23 So again, I tried to unclutter this by
24 not covering some of those pieces since they're
25 out there, but certainly encourage everyone to

1 look at those.

2 I think as we go through today's
3 workshop, we're going to be looking for
4 suggestions, again, the basic message though is
5 think climate, think the impacts back and forth
6 on climate, think about the interactions and
7 extensions, but certainly we have no intention of
8 redoing the Pathways work. So with that context,
9 I hope that provides people some sense and
10 certainly looking for suggestions; again,
11 certainly Mike and I both have pretty strong
12 feelings of where E3 could have gone further, and
13 so that will be some of what we'll frame up
14 today. Karen.

15 COMMISSIONER DOUGLAS: Well, you know,
16 I'm really here out of interest and the topic and
17 the presentation. In my world at the Energy
18 Commission, of course, I'm very deep in planning
19 on the renewable energy side, and so we're
20 looking at what the footprint of renewable energy
21 in the California Desert and other parts of the
22 state is likely to be based on our long term
23 climate trajectory and also in partnership with
24 other agencies, Cal Fish and Wildlife, BLM, U.S.
25 Fish and Wildlife Service, and more, looking at

1 how to construct and think about a conservation
2 framework around that so that we can match our
3 renewable energy thinking and needs with adaptive
4 management and conservation.

5 So I'm here to learn, you know, there's a
6 lot that came out of the Pathways study that was
7 very informative and helpful, and yet as the
8 Chair said, you know, it's certainly not the last
9 word and there are places to learn and to improve
10 and continue the work, so I guess that would be
11 my introduction. Thank you.

12 CHAIRMAN WEISENMILLER: Okay. I was
13 going to say, I was going to ask, well, Mike
14 Rossi is probably the person that the Governor
15 relies upon the most in terms of going through
16 complicated models and trying to find the flaws.
17 So, Mike, do you have a few words?

18 MR. ROSSI: I've talked to a number of
19 you prior to the meeting, to be sure, I had
20 gotten enough background reading which I hadn't
21 done, and I am fascinated by a whole series of
22 things that people portray as being doable, and
23 so I'll be looking forward to hearing the
24 explanations as to why some things I can't
25 imagine are doable are doable. So I look forward

1 to this.

2 COMMISSIONER MCALLISTER: So I guess
3 let's start maybe with Commissioner Randolph from
4 the PUC.

5 COMMISSIONER RANDOLPH: Thank you. Well,
6 I just spent the last couple weeks working on my
7 Rules Committee Letter Response and a
8 crosscutting theme was interagency cooperation,
9 so I'm excited this is my first official
10 opportunity to do that. And I am very interested
11 in this topic and I appreciate the opportunity to
12 learn, there's a lot of uncertainties and
13 question marks coming, and looking at the
14 different potential scenarios and solutions, as
15 Mike said, is just completely fascinating. And I
16 appreciate the opportunity to be here.

17 MR. MURTISHAW: And like Commissioner
18 Randolph, I just also would like to express the
19 fact that I appreciate the opportunity to
20 participate in the invitation and the continuing
21 cooperation between all of these agencies.

22 Obviously, the PUC plays a large role in
23 helping to meet the state's overall GHG goals, so
24 we follow all these areas of research with great
25 interest.

1 We have several proceedings right now
2 that directly pertain to some of the key elements
3 and the key branches in these pathways to
4 reaching 2030 or 2050 goals. We have the
5 Distribution Resource Planning proceeding and
6 applications that were just filed on July 1 with
7 very interesting proposals from utilities.

8 I've had a chance to dig fairly deeply
9 into Southern California Edison's proposal and I
10 have to say I'm pretty impressed with how they
11 are beginning to think about their role in
12 facilitating Electric Vehicles and distributed
13 generation and storage, and overall management of
14 the Grid and planning appropriately for that.

15 I think in the near term we're grappling
16 with an important choice in terms of our overall
17 regulatory strategy for ensuring that the
18 electric and gas utility sectors are contributing
19 their share and pulling their weight, which is a
20 lot in terms of meeting the state's overall goal.
21 So the two broad approaches that have emerged and
22 that are under consideration are something like
23 what the utilities have proposed, a Clean Energy
24 Standard, or an Emissions Standard for the
25 electric utilities, which would essentially be

1 more of a bottom up approach, allowing the
2 utilities individually to devise their own plans
3 for meeting a certain target versus an integrated
4 resource planning approach, which would be a
5 little bit more centralized and which the PUC
6 would play a larger role in determining those
7 choices out of the total portfolio of things that
8 the utilities can do to reduce emissions.

9 But under either approach, the PUC will
10 obviously play some role in guiding the options
11 that are selected for getting to those goals and
12 fundamentally what we have to do is revisit the
13 measurement of GHGs as it applies to electric
14 utilities. This is something that we started to
15 do years ago when load-based cap and trade was
16 still under consideration and it's fundamental to
17 have the metrics and the measurement processes in
18 place to assign emissions to the utilities before
19 we can do anything. So there are some key steps
20 there in terms of just beginning the process.

21 I think one thing that we're interested
22 in, in terms of the findings from the research is
23 knowing at what point we have to make key
24 decisions about technological lock-in, so at what
25 point do we have to commit to vastly expanding

1 the number of charging stations and facilitating
2 that. And we have applications from all three
3 utilities now under review at the Public
4 Utilities Commission, taking different approaches
5 to expanding the number of Electric Vehicle
6 charging facilities. But so we want to maintain
7 that option value as long as we can before we
8 know that we have to pull the trigger for better,
9 for worse to commit to certain technology
10 choices, so I think this kind of research will
11 help inform those decisions. So I look forward
12 to hearing the presentations and continuing to
13 participate with all these agencies to make sure
14 that we can reach these goals at a reasonable
15 cost to Californians and set a good example for
16 the rest of the country to follow.

17 MR. CASEY: I'll be brief. But first
18 off, thank you Commissioner McAllister for
19 including us here on the dais. I think the
20 California ISO is kind of where the rubber hits
21 the road on a lot of these policies, so we really
22 appreciate the opportunity to be involved upfront
23 in these discussions.

24 I think there's a common theme around the
25 dais and that is, as we look at the next tranche

1 of climate policies for the electric sector, we
2 need to think of it in the broader context of the
3 overall GHG strategy for the state and recognize
4 the interactions between the electric sector and
5 these other sectors, transportation being a big
6 one, obviously.

7 And importantly, as we think about the
8 integration solutions for making this all work,
9 there are opportunities to leverage the climate
10 actions and other sectors to help with the
11 integration on the electric sector, and I think
12 that's something we, going forward, really need
13 to be mindful of and look to really maximize
14 those opportunities, and certainly look for
15 integration solutions that don't add to the GHGs
16 and, you know, look to minimize reliance on the
17 fossil fuel fleet. These are things the ISO is
18 keenly interested in doing, so we look for
19 creative opportunities to try to make that
20 happen. So thank you for having us here today
21 and look forward to the presentations.

22 COMMISSIONER MCALLISTER: Thank you all
23 for being here. I'm really looking forward to
24 your questions to the various panelists, we have
25 a lot of expertise in the room. I'll just add a

1 little bit of cleanup here and give a slightly
2 different perspective quickly to keep us ahead of
3 schedule.

4 On the Energy Efficiency side, you know,
5 the interaction between demand and between supply
6 and demand is sort of one of the key, you know,
7 as things get more distributed and more demand-
8 side oriented and we figure out how to apply and
9 deploy and pay for a lot of this innovative
10 technology that's coming on line, you know, the
11 carbon impacts of those strategies really are
12 front and center. And, you know, as supply and
13 demand interact more and we see impacts and
14 depend on a lot of different factors, it's really
15 important to understand the very scenarios and
16 work through that. So the modeling efforts are
17 truly, I think, educational and informative for
18 making better policy decisions.

19 Long term, you know, I'm Lead on Energy
20 Efficiency, we're looking at the existing
21 buildings very closely, trying to figure out
22 strategies that they're going to work and really
23 get scale in decreasing consumption and
24 decreasing the carbon emissions of the demand
25 side. You know, as the Grid evolves and as the

1 Grid gets cleaner, the relationship of
2 electricity and natural gas will change, a lot of
3 that depends on the costs of the different
4 trajectories and, again, looking at how long term
5 if there's some inflection point where different
6 sets of technologies really make a difference, to
7 Scott's point, that lock-in question is really
8 key. So maybe there are places where
9 technologies with a shorter life, or with a lower
10 capital investment, actually do come to the fore
11 as a transition strategy as we compare those to
12 longer life technologies.

13 So I think we'll be asking questions from
14 the various perspectives that we bring to the
15 table in order to flesh this out and really keep
16 these efforts robust and rigorous, and be able to
17 focus them going forward. So I'll pass it back
18 to Heather and we can get going to panels.

19 MS. RAITT: Okay, our first discussion
20 area is on the Overview of Past Research
21 Activities and our first speaker, Jim Williams,
22 is on his way, he's stuck in traffic, so we'll
23 move on to our second speaker who is Trieu Mai.

24 MR. MAI: Well, thanks everybody. This is
25 Trieu Mai from the National Renewable Energy Lab.

1 Thanks for the opportunity to share some of our
2 research findings today.

3 I originally was going to go into a bit
4 of detail on our modeling capabilities, but I
5 think I'll save that for the end because I think
6 the research findings from these three studies
7 that I wanted to share might be of more interest,
8 and then we can go back to the models if there's
9 interest there, and if there's time.

10 The first one is a National Scale Study
11 that we looked at called the Renewable
12 Electricity Future Study where we looked at
13 scenarios with 80 percent renewable generation in
14 the U.S. power grid, and we'll go into some
15 highlights of that study.

16 The second one is more of a U.S. West
17 focus where we looked WECC-wide and looked at
18 integrating 30 to 35 percent wind and solar into
19 the Western Grid.

20 And the last one is one that is actually
21 not published completely yet, but I think I will
22 share some result today and that is a California
23 focused one. The Low Carbon Grid Study, which
24 looks at scenarios with 55 percent renewables on
25 the California Grid.

1 Okay, so starting with the so-called REF
2 Study, this is an analysis that relied on some
3 models at NREL, in addition to some Unit
4 Commitment models from ABB called the GridView
5 Model. The bottom line is transitioning from
6 today or 2010 world that is largely fossil and
7 nuclear focused, as we all know into a 2050
8 future where it is 80 percent renewables, and I
9 define renewables as this large suite of options
10 here, biomass, geothermal, hydro, as well as wind
11 and solar.

12 What we find from that modeling exercise
13 is that renewable technologies that are
14 commercially available today, in combination with
15 the more flexible power system, all of the
16 analyses that I would discuss are on the power
17 side, so we won't focus so much on the seams that
18 was mentioned earlier, but that power side has to
19 be more flexible, and I think that's a theme that
20 you'll hear broadly today.

21 It's more than adequate to meet 80
22 percent of total U.S. electricity demand by 2050.
23 Again, we did this on an hourly basis and that's
24 what the evaluation was at the highest resolution
25 that we could look at. And you'll see other

1 results later on that zooms in on that.

2 Another key result from that beyond just
3 that overall feasibility statement is that all
4 regions in the U.S. really would have to
5 contribute to this 80 percent U.S. future in
6 2050.

7 You can see in this particular scenario,
8 or you might not be able to see because it's in a
9 small font here, but California largely, to get
10 to a nationwide 80 percent goal, is at nearly 100
11 percent renewables. And I could say that broadly
12 speaking west-wide it looks like it has to
13 contribute more than the other parts of the
14 country by merely because of the rich resources,
15 renewable resources that we have here out west.

16 Despite those regional differences,
17 though, one theme that we did find is significant
18 renewable deployment needs to occur throughout
19 the country, and certainly some changes to
20 imports and exports, as well.

21 Another set of results that we looked at
22 were the environmental and economic impacts of
23 this type of scenario. Certainly getting to 80
24 percent renewables compared to a business as
25 usual perspective will reduce carbon emissions,

1 that's no surprise. We estimate in our scenarios
2 that emissions reductions would be achieved at 75
3 to 80 percent in the power sector.

4 And correspondingly, there is an
5 incremental cost that we estimate with this
6 transition, and that is shown in the shaded
7 region here in terms of retail electricity
8 prices, and you can see by 2050 that incremental
9 costs in real terms would increase somewhere from
10 \$5.00 per megawatt hour on the very low end up to
11 \$30 to \$40 per megawatt hour on the high end.
12 What's interesting about this is our renewable
13 focus pathway, that incremental cost is similar
14 to other pathways that others, EIA and EPA, have
15 identified using a non-renewable specific
16 pathway. In fact, in some cases our incremental
17 costs are lower than what these other estimates
18 entail, given the similar level of carbon
19 emissions reductions.

20 Moving on to the so-called Western Wind
21 Study, there's actually three phases to this.
22 The first phase looked at, again, that feasible
23 statement, can we integrate wind and solar into
24 the Western Grid? One of the findings from that
25 was, yes, we can do it, however, there's going to

1 be significant cycling and ramping of the
2 incumbent fossil units, and that's the focus of
3 Phase 2 is what are those cycling impacts and
4 from a cost and emissions perspective.

5 Then finally, Phase 3 is a deeper dive,
6 GE actually conducted the analysis there where if
7 you had this high wind and solar system, this
8 inverter-based system and there's a large
9 disturbance, how would the system react? Would
10 you still have that system reliability that we
11 need to have?

12 I will skip over Phase 1, but Phase 2,
13 these are some results from the Plexos modeling
14 that was connected there. It's five-minute Uni-
15 Commitment modeling. Just focusing on the black
16 at the bottom there, that's the coal units in
17 this low demand spring day where you have a lot
18 of renewables on your system. And, yes, there is
19 a significant amount of cycling and ramping
20 during those periods of time.

21 However, what we found was that cycling
22 in itself, if you isolate that impact from the
23 bulk impact, has a minimal impact on emissions.
24 You can see the relative sizes in the arrows on
25 the left from both greenhouse gas emissions and

1 criteria air pollutants. In addition, if you
2 look at the wear and tear costs associated with
3 cycling, you could see that in the lower right
4 there in the small yellow upward arrow there, and
5 compare that with the avoided fuel cost, which is
6 on the order of seven billion dollars, so it's
7 one or two orders of magnitude smaller. That's
8 from a system perspective. We understand that
9 from an individual plant perspective, those
10 cycling costs can be significant, but from a
11 WECC-wide system perspective, the cycling costs
12 appear to be small relative to that total avoided
13 fuel cost.

14 And lastly, Phase 3, we took a time
15 period where we had very high instantaneous
16 penetration levels, above 50 percent. And then
17 we simulated a disturbance, a very large
18 disturbance, where we tripped two units at Palo
19 Verde and estimated or measured how the system
20 might react to that from a frequency response
21 perspective. And what we found was, there were
22 no under-frequency load shedding events, even
23 from this high inverter-based instantaneous
24 penetration scenario.

25 And some of the other results were, if

1 you put frequency control equipment on your wind
2 and solar, that of course would improve the
3 response.

4 So the bottom line from that is, with
5 good system planning, sound engineering
6 practices, and technologies that are available
7 today, the West can withstand that very important
8 immediate period after a disturbance, even with
9 high levels of wind and solar.

10 And finally, the last study that I will
11 mention is the Low Carbon Grid Study. NREL
12 conducted much of the modeling exercise for this
13 study and it does tackle the 2030 questions on
14 the path to emissions reductions in 2050, that's
15 the goal of the state. Phase 1 is currently
16 available and you can see those results on the
17 website. Phase 2 is ongoing. As I mentioned, it
18 will likely be published in the coming month or
19 so.

20 The bottom line is, yes, the California
21 power sector, at least, can cut its carbon
22 footprint significantly by 2030 with minimal cost
23 and curtailment impact through a renewable path,
24 again, without compromising reliability.

25 I won't go too much into detail, but

1 there are a few very interesting results from
2 this. First, just to set the stage, how we did
3 this was we used the Plexos model and we compared
4 a set of baseline scenarios where the baseline
5 scenario is essentially the LTPP, 33 percent
6 scenario, expanded through, or extended to 2030.
7 And we compared that with a couple of target
8 scenarios that gained at 55 percent renewable
9 penetration, or 50 percent emissions reductions
10 on the power side. We looked at a few different
11 portfolios for that, one is a high solar versus a
12 low solar scenario, and across all of these
13 scenarios we looked at different system
14 flexibility and we'll see what that means in a
15 little bit, and estimated how that might impact
16 three key metrics that I'll share today. One is
17 on emissions. The top three are the baseline
18 scenarios, and you could see it has greater
19 greenhouse gas emissions from the power side at
20 80 million metric tons, compared to today's power
21 sector emissions of about 91 million metric tons.
22 I've crossed all the target scenarios,
23 not surprisingly when you have that level of
24 renewables, there are significant carbon
25 emissions reductions, and we measure those here.

1 Similarly, we look at production cost and
2 this specific bar chart shows the annual
3 production cost savings relative to that baseline
4 scenario, so these are all Delta, where all the
5 positive numbers are less cost than in the
6 baseline. And we estimate across all these
7 scenarios approximately four to five billion
8 dollars in annual production cost savings. Just
9 to get some grounding on what that means, in our
10 baseline scenario, total production cost was
11 estimated to be about \$13 billion dollars. So
12 you get some significant savings on cost,
13 however, this is just production cost side, there
14 is a capital cost analysis that is not readily
15 available yet, but will be in the study.

16 And of course, the most important part of
17 this one is really this slide here, where we
18 measure the curtailment of renewables across
19 these various scenarios. And you get quite a
20 range and actually the range shown here drives
21 the slight change as you see both in carbon
22 emissions and cost because that missing renewable
23 generation that you couldn't use due to limits to
24 system flexibility and other limits, then have to
25 be replaced by fossil or other units that have

1 higher emissions and higher costs. So this is an
2 important one here and these are the details
3 within this that really drive the details in
4 potentially any policy design.

5 For example, we looked at a variety of
6 different sources of system flexibility,
7 including technological solutions, storage Demand
8 Response, that was mentioned earlier, but we also
9 looked at details within certain policy designs,
10 for example, we have a proxy that measures the
11 unbundled REC limits within California and how
12 that might change the amount of curtailment you
13 have in California.

14 We looked at somewhat some engineering,
15 but perhaps also policy questions like local
16 generation requirement, the amount of non-
17 synchronous penetration that you could have at
18 any time, and those very key questions -- import
19 schedules, what can provide reserves? Those sets
20 of questions can drive curtailments in a big way
21 and therefore you lose out on potentially the CO₂
22 and cost benefits of renewables.

23 And finally, I'll end here, these are
24 just a set of links to some of our other studies
25 and our modeling capabilities. Thank you.

1 CHAIRMAN WEISENMILLER: Okay, so two
2 quick questions. Is anyone in Washington having
3 NREL do anything on the Clean Energy Plan?

4 MR. MAI: That's a good question. We
5 have supported the Energy Policy and System
6 Analysis Office of DOE in modeling carbon
7 emissions reductions nationwide. We have not
8 directly modeled anything on the Clean Power
9 Plan. If you look at the Clean Power Plan
10 documents from EPA, it does site some of the work
11 that we've done, including the 80 percent
12 renewable future study that I mentioned earlier.

13 CHAIRMAN WEISENMILLER: Okay, I guess the
14 other question, I'll start with just a story,
15 when I was in a project doing due diligence for
16 Project Finance, there was a project in Texas
17 which was the most efficient plant in Texas, that
18 the contractor did a study, they did financing,
19 they redid the study, just before it came on line
20 six months later, it was bankrupt. And so you
21 get to the question of limitations on these
22 models. Part of it was they assumed no friction
23 on transfers, basically that there were no
24 bilateral contracts in Texas, well, there are,
25 and so that was a billion dollar mistake. What

1 your presumption on power flows across the West,
2 you know, you don't have that on your renewable
3 list, but my understanding is you guys are
4 assuming basically a West-wide RTO, including
5 LADWP, IID, and SMUD.

6 MR. MAI: That's a good question. We do
7 the base model of how we run, for example in our
8 Western study, the way you've characterized it is
9 largely correct, where the amount of friction
10 between balancing areas, trading is zero. We do
11 often run sensitivities with respect to that
12 friction, and in particular in the Low Carbon
13 Grid Study. For California, we ran sensitivities
14 where there were different import/export rules
15 into California.

16 CHAIRMAN WEISENMILLER: Typically on
17 these models one of the checks is, as you add
18 more constraints to the models such as
19 bilaterals, the costs go up and marginal costs go
20 down. So have you done those sort of checks on
21 the relationships on revenue requirements on
22 marginal costs coming out of your model?

23 MR. MAI: We have not checked, at least
24 on the revenue side. In the Capital Costs
25 Analysis, we'll include some of that. I don't

1 know the details of that yet. But in terms of
2 the cost, one of the findings from the
3 curtailment were based on that, when you apply
4 more constraints into your system, you will have
5 greater curtailment and therefore fewer
6 production cost savings and overall system cost
7 increases. So that is definitely true.

8 MR. CASEY: I had a couple of questions
9 on in terms of your modeling efforts
10 incorporating integration solutions like storage
11 and Demand Response, I wondered if you could
12 elaborate on what sort of investments did your
13 model produce in those areas; and secondly, on
14 the frequency response, I wondered if you could
15 elaborate on where you were getting the primary
16 frequency response from on your system, under
17 your scenarios, to the extent you know?

18 MR. MAI: Sure. So the answer to the
19 first question, it depends on the study. From
20 the 80 percent U.S. base study, we did those
21 decisions in terms of storage and other potential
22 options there based on our least cost system-wide
23 economic consideration. So we throw in storage
24 as an option that the model could choose or not
25 choose, based on its least cost solution compared

1 to other solutions that it might pick.

2 MR. CASEY: Do you have any sense of
3 order of magnitude, how much storage that
4 produced?

5 MR. MAI: So in many of those scenarios,
6 it was about 100 gigawatts of new storage,
7 nationwide from now to 2050. And that's a mix of
8 bulk, you know, compressed air energy storage,
9 pumped hydro-like storage, as well as battery
10 systems, as well. I should say the batteries are
11 a hard thing for these models to capture because
12 they are small, they are typically in the
13 distributed size, so the decision-making is going
14 to be different, and it's like comparing a
15 rooftop PV to a utility-scale system. So there's
16 some challenges with that.

17 Demand Response is something that is very
18 challenging to model and it's challenging to
19 model from an investment and planning
20 perspective. But it is -- we have modeled that
21 in this study and others from an operational
22 perspective. What that means is we assume a
23 certain level of Demand Response within limits of
24 what hours it is able to operate and what
25 services it can provide, and then the system

1 optimizes that operation. So it does assume that
2 it's part of the overall system.

3 So we do scenarios with and without that
4 high level of Demand Response in there. To your
5 second question on frequency response, I can't
6 really answer that as GE really conducted that
7 analysis.

8 COMMISSIONER MCALLISTER: So just a
9 couple questions. I wanted to follow-up a little
10 bit on what Chair Weisenmiller was asking. So in
11 your scenario where you trip Palo Verde and you
12 look at the response, so can you look at the
13 inertia issue and, I mean, are you modeling it at
14 that level? And does the response there and
15 ability to maintain stability depend on the
16 renewables mix at that moment? Or what are your
17 scenarios that you're actually basing that
18 conclusion on?

19 MR. MAI: So we don't fully look at
20 inertia, we look at volt stability and frequency
21 response within that area, and so essentially
22 what we did was, from the Phase 2 Study, we found
23 the periods that could potentially have the most
24 problems, i.e., those highest instantaneous
25 penetration periods, and then we modeled that

1 using PSLFRG model, using PSLF, tripped Palo
2 Verde, and just estimated what the frequency
3 would be on the system. So I can't really answer
4 which technologies were used to do that primary
5 frequency response, but I could provide you with
6 the folks who can.

7 COMMISSIONER MCALLISTER: Okay, that
8 would be great. And then I guess I'm wondering,
9 you mentioned that the capital costs assessment
10 is coming. I guess are you going to be making
11 sort of policy recommendations on the DR, you
12 know, what Keith just asked, on mobilizing DR,
13 making some assumptions? Is part of this
14 assessment planned to be policy recommendations
15 on how to mobilize? Anyway, they're different
16 models for mobilizing that DR, and I want to sort
17 of see what part of your team --

18 MR. MAI: Sure. NREL will not make any
19 policy recommendations based on any of this. We
20 partnered with a number of folks within this Low
21 Carbon Grid Study and I presume that some of them
22 may make policy recommendations. But I think the
23 analysis itself does inform, as I show in this
24 slide right here, that some policies, however,
25 could have a major effect in terms of the level

1 of curtailment and those policies should be
2 considered in light of that.

3 COMMISSIONER MCALLISTER: Okay. Thanks.
4 Mike.

5 MR. ROSSI: I'm the least knowledgeable
6 person up here, so bear with me. As I look at
7 your study and look at your website, I can't
8 determine as to whether or not you run a model
9 that does scenarios, then does probabilistic
10 analysis as to whether this will or will not
11 happen, 50 percent chance, 70 percent chance, 10
12 percent chance. Not having seen any of that, I
13 have little faith in your numbers as to the real
14 savings one gets to go to 80 percent renewables.
15 I have little faith in your capital numbers since
16 you don't have any, so that's fair, you're going
17 to have those in your next study. But I'm trying
18 to figure out, the important part of trying to
19 balance here is understanding whether or not the
20 models take into effect real costs to the
21 consumer, real costs to industry, you know, when
22 you look at Germany, I worry about their models
23 that look similar to these outcomes, and the
24 problems that they're having, huge problems that
25 they're having making their goals work.

1 So I guess my simple question is, do you
2 have that data so I can actually look at it?

3 MR. MAI: Sure. It depends on the study,
4 so the 80 percent one that you mentioned does
5 have all the data available, you could dig deeply
6 into all of the assumptions that we have, capital
7 costs --

8 MR. ROSSI: And do you have a range of
9 outcomes?

10 MR. MAI: And then, for example, in this
11 chart right here, we don't do a stochastic
12 analysis within the model, the models are
13 inherently deterministic that we use. To tackle
14 the uncertainty question, what we do is we model
15 a range of scenarios. Hence, this chart right
16 here shows you the range of rate impacts --

17 MR. ROSSI: But you know, the problem in
18 making decisions on that type of analysis when it
19 comes to models, if you do what you just said,
20 they become less valuable.

21 MR. MAI: So I would agree with you that
22 if we had a better way to predict the future, we
23 would be better informed for any policy
24 decisions. I think there's an inherent
25 uncertainty and the distributions of these future

1 parameters are very hard to grasp to even do that
2 stochastic analysis.

3 MR. ROSSI: It is difficult, but it is
4 worth doing because, you know, people make lots
5 of decisions predicated on Monte Carlo models,
6 big casino models, all those -- and that future
7 is no more easy to comprehend than the one we're
8 talking about here. And when you're going to ask
9 people to spend more money to achieve something
10 that may not be achievable, other than at the 20
11 percent level, then you need to readjust what
12 you're looking at. And it gets to your issue
13 with your slide on curtailment.

14 So all I'm asking, and you don't need to
15 do anything more for me here, is to direct me to
16 where you do that research, and if you don't,
17 just tell me you don't, it's that simple.

18 MR. MAI: At NREL, we typically do not do
19 stochastic analysis, we do scenario analysis -

20 MR. ROSSI: Fair enough.

21 MR. MAI: -- and the sensitivities should
22 cover a wide range there.

23 COMMISSIONER MCALLISTER: Anybody else?
24 Okay, thanks very much, I enjoyed that. Do we
25 have a status report on Jim?

1 MS. RAITT: He's not here yet and I don't
2 have a status report.

3 COMMISSIONER MCALLISTER: Okay, you're
4 not in mobile communication with him?

5 MS. RAITT: No, I'm not.

6 CHAIRMAN WEISENMILLER: Forecasting is
7 hard.

8 COMMISSIONER MCALLISTER: Confirmation of
9 the future is uncertain, okay. Blame it on the
10 traffic, right? That's the --

11 MS. RAITT: So we can move on to the
12 recent research findings, a look to the future,
13 and the transition to a low greenhouse gas energy
14 future. And the first speaker on this area is
15 Ray Williams from PG&E.

16 MR. WILLIAMS: Thanks very much for the
17 opportunity to present here. My name is Ray
18 Williams. I work in the Long Term Energy Policy
19 Group within the Energy Procurement part of PG&E.
20 These days I'm spending about half my time on
21 greenhouse gas policy in the state and the other
22 half in D.C., and come August 3rd that might move
23 to 75 percent Federal and --

24 CHAIRMAN WEISENMILLER: You may want to
25 check the weather forecast for D.C., I think

1 it'll be hot and muggy.

2 MR. WILLIAMS: You can always work
3 remotely for a while. So we asked ICF to look at
4 some of the policy alternatives that could come
5 out of the proposed rule from 111(d), again, that
6 was issued last year, and it really wasn't so
7 much to look at whether California can comply or
8 not, although we certainly follow that closely,
9 it was really more about, you know, what are the
10 impacts on the WECC generally.

11 So this is an interim analysis. Once the
12 final rule comes out, we plan on updating. This
13 is a great time for feedback from anybody because
14 we'll be really trying to work on this once the
15 final rule comes out. And then once I go through
16 that, I want to talk a little bit about PG&E's
17 engagement primarily in D.C.

18 So I'll just go into a little bit on the
19 scenarios in the next couple of pages, but some
20 of the outputs here include emissions and
21 emissions rates, credit and allowance prices,
22 natural gas prices, wholesale power prices, and
23 systems costs. And again, we chose ICF, they
24 have an IPM model, that model is national in
25 scope, it looks at the power sector, it has

1 regional dispatch. Obviously we're focused very
2 much on the WECC here, it has an extensive
3 dataset, power gen fuel mix, transmission, energy
4 demand, fuel prices, and it also models
5 environmental policies, you know, here we're
6 looking at 111(d).

7 And you'll see here we are solely
8 responsible for all the assumptions and policy
9 constructs. That IPM model is also the model
10 that EPA uses, but they have a separate staff and
11 the staff that we work with here is walled off
12 from the EPA, from the staff that works for EPA.

13 First, I just wanted to kind of ground
14 the work here. So if you look at the form of
15 111(d) today, it's a rate-based form. And this
16 has pretty significant implications for different
17 kinds of technologies. So we tried to illustrate
18 here. In the WECC, there are states that have
19 very high emissions rates and there are other
20 states like California that have very low target
21 emissions rates. So we chose kind of a generic
22 rate here, 1,300 pounds per megawatt hour, and we
23 showed the impact in terms of either having to go
24 into the market to buy credits, or to sell
25 credits. And you can see for a coal facility at

1 about 2,100 pounds per megawatt hour, and a 1,300
2 target rate for that particular state, they'd be
3 going into the market to purchase credits if
4 there was trading available.

5 For a wind facility, you can see that
6 it's very much the opposite at 1,300 pounds per
7 megawatt hour. They would have quite a
8 significant amount of credits to sell. But what
9 I think is most interesting here is looking at
10 the gas-combined cycle, so if you look at a state
11 with a relatively high target in the WECC, they
12 may have an 850 pound per megawatt hour emissions
13 rate. You see that the target rate is 1,300,
14 they could actually sell credits at the rate of
15 450 pounds per megawatt hour. That same
16 combined-cycle facility located in California,
17 and that's the California proposed rate in 2030
18 at 537, would actually have to go in the market
19 and purchase credits at a rate of 313 pounds per
20 megawatt hour.

21 So you can see from this very different
22 treatment of very similar facilities and, you
23 know, and largely the same market, but obviously
24 there's balancing, there's transmission
25 constraints, there's different balancing

1 authorities, and so forth, that this can have
2 quite a significant impact on dispatch, on the
3 evaluation of these facilities and on incentives
4 for locating combined cycle facilities in states
5 with high targets. So if there are some
6 inefficiencies introduced here, this is I think
7 part of what got us interested in this and maybe
8 to look for ways to come up with maybe more of a
9 uniform regional plan.

10 So we have a number of constructs here
11 that are very focused on sort of rate
12 alternatives. We have case names. We talk about
13 the disposition of the Cap-and-Trade Program, the
14 geographic trading regime, whether it's state or
15 regional, the emissions rate structure, whether
16 it's that state-specific rate, whether it's a
17 weighted average rate, for example, that could be
18 one rate for the whole WECC if you could somehow
19 get there. And then we talk about the covered
20 sources, as well as we just mentioned energy
21 efficiency here, what's notable about the covered
22 sources is that 111(d) is a state-by-state
23 regulation, so you're really looking for each
24 state at the dispatch of those facilities within
25 the state, and not transfers across state

1 boundaries.

2 So we tried to come up Santa and Bruce
3 was helping me with this, and I tried to come up
4 with some interesting names here, so the first is
5 Patchwork Quilt, which is essentially no trading
6 at all across state boundaries, and then you have
7 the state specific rate associated with that.

8 Coming down, we go to regional
9 marketplace and here we introduce WECC regional
10 trading, but with the same state-specific rate.
11 The Policy Case 3 that we have here, we have WECC
12 Regional Trading, but here we come up with a
13 blended rate, so this is a rate that perhaps
14 could take out some of those inefficiencies if
15 the regulation itself across the WECC was
16 uniform. And then the fourth, we went back and
17 added back in the Cap-and-Trade Program for
18 California in those first three, we had it as
19 inactive just so that we could see the effects of
20 this rate program, so we added the California
21 Cap-and-Trade Program back in, but otherwise used
22 Policy Case 2 parameters, so California's mass-
23 based, all the other states are rate-based. So,
24 believe me, it can get a whole lot more
25 complicated than what I'm showing here.

1 So in the time I have, I'm going to now
2 turn to page 9. So this is kind of a check-in to
3 see if California does well given the current
4 construct and, you know, a lot of this depends on
5 how you count, which was not fully settled, even
6 in the proposed rule, but if you look at that
7 blue line, which is in essence sort of an
8 extension of current policy in the State of
9 California, California would comply. But if you
10 look at the impact of some of the modeling work
11 for these other cases where 111(d) does come in,
12 the emissions rate actually does go down, and
13 that's primarily driven by some of the energy
14 efficiency assumptions that are embedded in the
15 modeling. But in any event, California looks
16 like, from a compliance perspective, in a pretty
17 good spot.

18 So here's a little bit of the dynamics on
19 credit prices in California. So here you have
20 that solid line going up and that's just a
21 modeled allowance price in the Cap-and-Trade
22 market. You see a credit price in California
23 under the patchwork case going to zero, that's
24 because California would be long, can't sell it,
25 and the price goes to zero.

1 In these other cases where California is
2 able to participate in a regional market, this is
3 a rate-based market in this particular case,
4 credit prices are positive, which means they
5 would sell into the market, they're a long
6 position, and there would be some economic
7 benefit coming back to the state.

8 Okay, this one is an interesting graph
9 and a little bit surprising. This is a national
10 impact, not just California. The rule itself,
11 the proposed rule, was quite stringent for parts
12 of the country starting in 2020. This
13 accelerated the shift from coal to natural gas.
14 Gas supplies and pipeline infrastructure lagged
15 behind demand for a period of time and what we
16 see here is, you know, one dollar plus per MMBTU
17 increase and natural gas prices, and this is
18 actually a national effect, not just California.
19 So this may be addressed in the final rule, but
20 this is kind of a surprising result. And of
21 course, this would affect the whole economy, not
22 just the power sector. And there's IEA modeling
23 done and they corroborate this kind of short term
24 effect.

25 We'll do this one just real quickly. You

1 can see the effect of natural gas prices flowing
2 through to average power prices in California,
3 they go up a little bit driven by those natural
4 gas prices in California, they go up a little bit
5 driven by those natural gas prices. And then
6 they come down below a base case and, again,
7 that's really an artifact of some of the energy
8 efficiency assumptions that are embedded in the
9 model.

10 All right, I'm going to move now with the
11 time I have to page 14. This is looking at total
12 system costs for California. And so let's just
13 focus on 2030 here. You see it is lowest under a
14 base case; you see it is highest, as you might
15 expect, under the PC1 patchwork case. That's a
16 case where California is long in this sense and
17 they're not able to trade that long position back
18 into the market, so in essence they don't get the
19 benefit of the revenues from trading those
20 credits.

21 You also see a similar effect in the case
22 where you have a California Cap-and-Trade
23 Program, but you're not trading with the rest of
24 the WECC, so you do not get the benefit of being
25 able to basically work your long position, you

1 know, back into the WECC market. And then the
2 two cases where there's full trading across the
3 WECC, you get lower overall system costs. And if
4 you go to the WECC, you see really some quite
5 similar results, no trading, that's the patchwork
6 case there, high cost, you get some trading but
7 California is not participating, costs are a
8 little bit lower, but still above the two cases
9 in the middle here, the green and the purple case
10 where there's full trading across the WECC.

11 And if you look really at emissions, and
12 this is true for California and the WECC, and
13 given the time I have, I'm just going to focus on
14 the WECC here. This is almost the opposite kind
15 of story. So under the patchwork case where
16 there's no trading, emissions are actually the
17 lowest and that's because there's no trading;
18 companies that have a long position aren't making
19 those credits available, and so as you might
20 expect emissions overall in the WECC under that
21 case are lowest.

22 The California Cap-and-Trade case where
23 California is not participating, putting this
24 position in, emissions are second lowest across
25 the WECC, and then the two cases where there's

1 full trading and everyone in essence can close
2 out their positions, and emissions are a little
3 bit higher.

4 Let me just now shift gears a little bit
5 and get into some collaboration that we're doing
6 going forward. So you probably heard with the
7 Clean Power Plan there's an expectation that the
8 final rule will be issued maybe sometime early in
9 August at the ARB's request -- by the way, we've
10 shared this with ARB -- and based on EPA, some
11 signals we're getting, we're going to maybe go
12 back and do some analysis more on a mass-based
13 approach like a Cap-and-Trade Program, rather
14 than rate-based.

15 We're also going to model the deep
16 reductions in California, this was done before
17 the Governor's announcement, so we're just about
18 there with ICF in terms of modeling California
19 and the California policy, and then trying to see
20 what the interactions are across the WECC.

21 In terms of collaboration going forward,
22 we're working with the DC office of NRDC and
23 other utilities and other nonprofits in D.C. on a
24 modeling exercise using the same model, a common
25 set of assumptions, a common set of policy

1 alternatives, and of course once that's done that
2 will be made publicly available. We're also
3 working with the Center for New Energy Economy.
4 That's a dialogue with Western Regulators and
5 utilities, ARB and the PUC were both there in the
6 spring. There's analytical work going on, we're
7 happy -- we shared this with them, as well --
8 they are working to show how compliance can be
9 done. We actually have developed a compliance
10 tool also to help with that and it's to the point
11 now where it's validated; unfortunately, the
12 final rule is coming out, so we know some change
13 is going to need to be made to that, but that's
14 also something in today's form that we can make
15 available. You know, they are in part to discuss
16 not only how you can comply as a state since
17 there's some work to do across the Western United
18 States, but Regional Compliance Plans, what can
19 we do to really promote some kind of a Regional
20 Compliance Plan?

21 The next large meeting is scheduled for
22 mid-September and as a company PG&E very much
23 looks forward to participating.

24 The benefits? Car markets and greenhouse
25 gas policy can be in sync. Leakage for

1 California becomes less of an issue. Siting and
2 operation of power plants, as I showed, can be
3 more efficient. You can take some of those
4 finance incentives that at least the rate-based
5 approach makes for the WECC. You can expand the
6 market for low carbon technologies. So there are
7 a lot of benefits here to getting to some kind of
8 Regional Plan. The EIM, I think, can help
9 facilitate that as it moves forward. There's a
10 couple of issues for California, there's an open
11 legal issue with respect to imports once 111(d)
12 comes in, then those generators outside of
13 California will be regulated at the source. And
14 so there's an issue with the State Regulation
15 Cap-and-Trade whether they can also be regulated
16 at the point of consumption. So I'm just going
17 to call it an open legal issue. There's also an
18 RFF blog out there and resources for the future,
19 by the way, for those of you who don't spend much
20 time in D.C., Dallas Bertra (ph), and he talks
21 about some of the things that EPA in their final
22 rule do in terms of encouraging regional
23 approaches, and it may look like a mass-based
24 approach, so that may also have some impact on
25 the California Cap-and-Trade Program.

1 And then one last word here. So much of
2 the work here really focuses on driving down the
3 carbon intensity of in-state generation to help
4 meet these aggressive goals and I would just
5 suggest a more regional look, start looking at
6 the carbon intensity associated with imports, you
7 know, generation outside of California but
8 consumed within the state. I think that's
9 probably an area for some further analysis. So
10 thanks for your time.

11 CHAIRMAN WEISENMILLER: Thanks, Ray. A
12 couple questions. One is you said obviously this
13 was developed for EPA, which would mean it's tied
14 much more to basic fuel use average as opposed to
15 marginal. But do you also automatically get the
16 air quality emissions -- outside of greenhouse
17 gas?

18 MR. WILLIAMS: I will check. I believe
19 you do. Part of the modeling there is to address
20 those sorts of environmental issues and not just
21 GHG. I don't know the detail. I'd be happy to
22 get that to you.

23 CHAIRMAN WEISENMILLER: Yeah. Now, it
24 would be good, again, I think all of us obviously
25 we're looking at sort of greenhouse gas benefits

1 and air quality benefits, the same things emerge
2 from there, so certainly analysis of that
3 particularly West-wide, I think I would flag --
4 these are all labeled privileged and confidential
5 and my presumption is they are now public?

6 MR. WILLIAMS: Yeah, they're public.

7 CHAIRMAN WEISENMILLER: Just checking!

8 MR. WILLIAMS: Yeah, we'll send you a
9 copy. I'm sorry about that. We'll send you a
10 copy and pull that off, yeah. I know we've
11 shared this very widely, yeah.

12 CHAIRMAN WEISENMILLER: Yeah. And you
13 mentioned, it sounds like you're doing it again
14 more West-wide as opposed to just California
15 utilities in this dialogue?

16 MR. WILLIAMS: At this point, yes. We've
17 engaged through CNEE in that context with
18 utilities, not direct utility to utility
19 conversations at this point.

20 CHAIRMAN WEISENMILLER: Okay.
21 Interesting because I was at the original kick-
22 off meeting with Mary and that tended to be more
23 Regulatory Commissions than Utilities.

24 MR. WILLIAMS: Right.

25 CHAIRMAN WEISENMILLER: So I guess I

1 would be encouraging you to see how well this
2 flies with the other Utilities in the West.

3 MR. WILLIAMS: Hopefully I'll have a
4 chance in September.

5 CHAIRMAN WEISENMILLER: Okay, good.
6 That's all I have.

7 COMMISSIONER MCALLISTER: One question.
8 Your various scenarios actually have a lot of,
9 you know, a number of them tracking pretty
10 closely with not a whole lot of difference in
11 terms of the cost, and I'm wondering if that's
12 sort of a function of the model or something
13 else. It's a little surprising that that kind of
14 West-wide coordination doesn't produce more
15 benefits. And I just kind of want to get your
16 insight on that.

17 MR. WILLIAMS: Well, they are in the
18 hundreds of millions of dollars in a particular
19 year, so they are significant. We're happy to
20 provide the data, the tables behind this so you
21 can see it.

22 COMMISSIONER MCALLISTER: Okay --

23 MR. WILLIAMS: In terms of the impacts on
24 dispatch, I actually thought when we went through
25 this that there would be more of an impact in

1 terms of inefficient dispatch, so that's kind of
2 an area of inquiry for us back to ICF. I think
3 the primary impact that you're seeing here is the
4 one around the opportunity to trade around the
5 margin. It's in the form of credits in these
6 scenarios.

7 CHAIRMAN WEISENMILLER: But that gets us
8 back to the classic West-wide issue of are we
9 just dealing with the trading in the last 15
10 minutes? Or are we dealing with actual
11 commitment decisions, day-ahead markets? And
12 presumably if can really affect day-ahead
13 markets, we'll have a much bigger impact on cost
14 and carbon.

15 MR. WILLIAMS: Good, yeah. That's right,
16 got it.

17 COMMISSIONER MCALLISTER: And I'm really
18 just asking, you know, the numbers are big on the
19 left axes of some of these columns, right? So,
20 yeah, but it seems like small changes in some of
21 your assumptions could actually change the
22 results quite a bit, so I guess maybe --

23 MR. WILLIAMS: Yeah.

24 COMMISSIONER MCALLISTER: -- that's kind
25 of why I'm asking, you know, some of the

1 scenarios are very very close.

2 MR. WILLIAMS: Yes, for example, I was a
3 little bit surprised the two cases where you have
4 regional trading, you know, one with a uniform
5 rate and one with individual state rates, I would
6 have guessed that there would have been a bigger
7 difference there because you would have had not
8 only the positive impact of credit prices, but
9 also the impact of having maybe more efficient
10 dispatch across the WECC because you weren't
11 affecting running costs by those differential
12 rates.

13 COMMISSIONER MCALLISTER: Yeah, exactly.

14 MR. WILLIAMS: So it's a good point and I
15 think we're going to go back and look at that.

16 CHAIRMAN WEISENMILLER: Yeah, I mean, the
17 fun part about modeling is that when you get
18 results, do they make sense or not? And is
19 either model teaching you something or is
20 something screwed up in the model? So it's
21 probably a good effort to try to determine which
22 of the above is occurring.

23 MR. WILLIAMS: Well, you know, and I'm
24 sure you know this, working with ICF, if you find
25 something in their model that is a little bit of

1 a shortcoming, given the new questions that
2 you're asking, you know, they're willing to go in
3 and enhance the modeling in that area.

4 MR. CASEY: Just a couple of quick
5 questions. I was curious what was driving the
6 incremental cost in the 111(D) scenarios relative
7 to the base cost. You mentioned energy
8 efficiency being, I think, one. So that was the
9 first question. And the second was, you know,
10 with regard to the scenarios where you're looking
11 at California trading emission credits,
12 particularly for the renewables, how do you
13 reconcile that with the accounting on California
14 Utilities meeting the RPS? Is there a -- I could
15 be way off base here, but you have the counting
16 for the renewable energy credits for meeting the
17 RPS requirements, and then you have the emission
18 credit that you're selling off, and I'm just
19 wondering is there a double dipping here on the
20 renewables?

21 MR. WILLIAMS: There is really -- there
22 is no modeling or trading of RECs here in this.
23 It was really, as I understand it, a dispatch
24 across the WECC, and then looking at state-by-
25 state because this is really in-state accounting

1 for existing facilities only: where were you
2 relative to that target?

3 MR. CASEY: I see.

4 MR. WILLIAMS: And were you short or
5 long? If you were long, you sell, and if you're
6 short, then you have the opportunity -- you
7 purchase. That was really the problem that we
8 work with in ICF to try to solve.

9 MR. CASEY: You're just focused on the
10 difference in emission rates by the source under
11 the WECC-wide dispatch versus the statewide --?

12 MR. WILLIAMS: Relative to their target,
13 that's right, yeah. And then to your first
14 question, there's probably a number of things
15 going on there. But I suspect that it may be
16 sort of the acceleration of the infrastructure
17 change, so more coal being retired more quickly
18 across the WECC, more capital coming in for
19 combined cycle generation, you know, where it
20 makes sense, and more capital coming in for
21 renewables. That's my guess, but....

22 MR. MURTISHAW: Yeah, so just to clarify,
23 then, excuse me, that Mr. Casey was making. So
24 what the model is assuming is that for any
25 renewable generator in California or elsewhere

1 that is producing positive credits, because it's
2 below any GHG rate, that that generator is able
3 to sell those credits off without impacting its
4 ability to contribute to compliance within that
5 state for RPS.

6 MR. WILLIAMS: Yes, yes.

7 MR. MURTISHAW: Okay.

8 MR. WILLIAMS: Yeah. We didn't look at
9 that RPS compliance issue at all, really.

10 COMMISSIONER MCALLISTER: Well, great.
11 Thanks very much.

12 MR. WILLIAMS: Thank you.

13 COMMISSIONER MCALLISTER: Okay, so let's
14 keep going with 111(D).

15 MS. RAITT: So I'm not sure, did you
16 want to go back to Jim Williams now that he's
17 here?

18 CHAIRMAN WEISENMILLER: Why don't we just
19 do the Analysis group and swing back to Jim since
20 this also deals with some of the Clean Power Plan
21 types of issues.

22 MS. RAITT: Great.

23 CHAIRMAN WEISENMILLER: It seems to be
24 relatively short.

25 MS. RAITT: Next is Paul Hibbard. Thank

1 you.

2 MR. HIBBARD: Thank you and good morning,
3 everyone. And thank you, Commissioners and all
4 of you for being interested in what's happening
5 on the other side of the country. And I do
6 apologize for spilling the water this morning,
7 I'm just kind of hoping that in lieu of a \$100
8 fine, I can ship you out some of the snow we had
9 in Boston this past winter.

10 COMMISSIONER MCALLISTER: You brought
11 that water along with you, though, didn't you?
12 So we appreciate that.

13 MR. HIBBARD: That's right!

14 COMMISSIONER MCALLISTER: Yeah.

15 MR. HIBBARD: Oh, boy, we had eight feet
16 of snow in a month in Boston and I had to drive
17 through it every day. I didn't mean to spill the
18 water just because I'm still angry about that, I
19 promise.

20 So what I will talk about today is a
21 study that we just did about the Cap-and-Trade
22 Program in the Northeast, and for those of you
23 who aren't familiar with it, we have since about
24 the end of 2008, ten -- well, nine Northeast
25 states have implemented a Cap-and-Trade Program

1 on the power sector including all the New England
2 states, New York, Maryland, Delaware, and New
3 Jersey was in it for the first three years until
4 Governor and Candidate Christie decided it was an
5 economy killer.

6 So we did a study, it was funded by a
7 number of foundations focused on not so much the
8 -- there have been a number of studies leading up
9 to RGGI as a program related to what the cap
10 level should be, whether the program is needed,
11 what the environmental impacts of reducing carbon
12 within the Northeast Region and what the
13 ancillary environmental impacts might be, all of
14 these things have been studied in great detail
15 both leading up to the program and throughout
16 program and administration.

17 We actually did a very different study,
18 it's really just looking at the allowance
19 dollars, the revenues that have come to states,
20 how they used it, and figure out how that money
21 flows through the economy and what the impact is.

22 The RGGI Program, you know, at the time
23 it began implementation I was Chairman of the
24 Public Utilities Commission in Massachusetts, and
25 I can assure you there was a great deal of angst

1 amongst all of the states that were involved in
2 RGGI, certainly on the Utility side, but also
3 from the standpoint of consumers and others
4 related to what the economic impact might be,
5 what the impact might be on electricity
6 consumers, whether or not the states could
7 actually get together and agree upon how to do
8 this. So ultimately we really looked at two
9 things, we looked at the economic impact and we
10 looked at what it implies for the states that
11 will have to look to figuring out how to comply
12 with the Clean Power Plan going forward. We now
13 have six years of administration of RGGI in the
14 northeast, it's gone through basically program
15 design and development, implementation for six
16 years, and ultimately a major program redesign
17 part way through, including a lowering of the
18 cap. So all of these things we think not only
19 affect how it affects the economies of the
20 Northeast states, but also what other states
21 might consider, not so much California, you
22 already have a major carbon reduction program,
23 but many of the other states that will have to
24 figure out how to comply and whether to do a
25 rate-based program, or whether to do a mass-based

1 program. There are a lot of lessons we think
2 that can be learned there.

3 Ultimately in our analysis, we found that
4 it has generated positive economic impacts for
5 all of the Northeast states. And in this
6 particular study, we focused on just RGGI's
7 second compliance period. They have three-year
8 compliance periods. We did a similar study for
9 the first three years, 2009 to 2011. This study
10 is focused on the second three years, 2012 to
11 2014. We found that across the region, spending
12 about a billion dollars in allowance revenues
13 translates to about \$1.3 billion in economic
14 value added. And it really results from the way
15 that the states have used the money, and I'll
16 talk about that in a bit.

17 I'll try not to spend too much time on
18 this, but everything we did in the study is in
19 this chart. The thing to notice here is what we
20 did was we started by looking at the RGGI
21 auctions and something that I'll talk about in a
22 bit, the RGGI states, when they got together, one
23 of probably the most difficult decisions they had
24 to make were of course agreeing upon a cap and
25 how that cap would be allocated amongst the

1 states; 2) it was what to do with the allowances
2 that were created by the Cap-and-Trade Program,
3 give them away or auction them. And then
4 ultimately all of the states agreed to auction
5 them and auction them through a central auction
6 which has a number of benefits from the power
7 system side of things. But then all of the
8 states had full freedom and flexibility to do
9 whatever they wanted to with the money and how
10 they spent that money also has a big impact.

11 So what we did was we looked at the RGGI
12 auctions, the total amount of money spent and
13 collected, and went through two pieces of
14 analysis. The first one relates to the
15 macroeconomic impacts. So we looked at the way
16 the states spent the money directly within their
17 states and how that affects, you know, through
18 things like direct bill assistance, or funding
19 for energy efficiency programs, program
20 administration, a number of different ways that
21 the states spent the money, and looked at what
22 impacts the direct investment had on the states'
23 economies.

24 But the other big piece of this of course
25 is that, as I'll outline in a second, states made

1 major investments in the energy sector. There
2 was a commitment early on to think about, while
3 states could do whatever they wanted with the
4 money, and some of them did things unrelated to
5 the energy sector, there was a commitment amongst
6 many of the states to reinvest those dollars,
7 those auction proceeds in the energy system
8 through energy efficiency and renewable
9 investments. So that has had a major impact on
10 the dispatch of the power system in the three
11 wholesale market regions that the RGGI states
12 exist in. So we followed the money that was
13 spent on energy system technologies, on
14 efficiency and renewables, and figured out how
15 that impacts the power system. And it impacts it
16 both positively and negatively, of course, from
17 an economic standpoint.

18 On the one hand, power plant owners have
19 to purchase allowances, it increases their offer
20 prices in the wholesale markets, increases prices
21 to consumers at the time that those dollars are
22 being reflected in power prices. But on the
23 other hand, the investments in efficiency and
24 renewables tend to have the opposite effect, and
25 over time it overcomes the impact of the

1 increased prices associated with marginal pricing
2 of allowances.

3 So we ran PROMOD, we looked at all the
4 different changes in the power system, and
5 ultimately took those net impacts on the power
6 system and flowed them back into the economic
7 model, as well, so all of the things, the direct
8 investment and the impacts on the power system
9 run through IMPLAN as a macroeconomic model to
10 figure out how it affected various things through
11 the economy.

12 In terms of PROMOD, the way we set this
13 up was we essentially modeled the system as it
14 has happened with RGGI in place and with all of
15 the investments the states are making, and then
16 we created a counterfactual case by pulling out
17 those investments and running the power system
18 without those investments and generated what the
19 differences were from the standpoint of generator
20 revenues, fuel mix, payments by load, and
21 difference in fuel purchases amongst the RGGI
22 states.

23 Just really quickly on the numbers here,
24 the first compliance period, 2009 to 2011, the
25 cap was initially set, it was agreed upon by the

1 states in 2007 and 2008, and then as soon as the
2 program went into effect, the economy tanked, and
3 really shale gas started playing a huge role in
4 the cost of gas in the Northeast Region. Both of
5 those tended to cause a huge amount of fuel
6 switching and a reduction in demand, so
7 ultimately the cap that was originally set was
8 well above what emissions ended up being over
9 that period and would have been anyway, so that
10 the RGGI auctions were clearing and a floor price
11 that was set by the RGGI states, and the revenues
12 tended to decline over time, overall about a
13 billion dollars in the first three years.

14 In the second three years, in 2012 the
15 states conducted a major program review and
16 reduced the cap by about half, and you can see
17 that in these later years, while the number of
18 allowances were much lower, the actual price of
19 allowances increased once the cap had some effect
20 on allowance prices. In the end, the second
21 compliance period, the states collected about the
22 same amount of revenue as the first compliance
23 period on the order of a billion dollars.

24 This is the big thing that states have
25 done that was pretty remarkable when they agreed

1 to do it this way in the beginning and when each
2 state individually made the decision in its own
3 state proceedings. You could see about 60
4 percent of the money collected through these
5 auction revenues is spent on energy efficiency
6 across the states. There is a big chunk,
7 particularly in Maryland was spent on -- these
8 are the states in PJM and in this chart it's just
9 Delaware and Maryland, but this large chunk was
10 money that went back for essentially a direct
11 bill of rebates for low income customers, but
12 also for other customers, as well. And then you
13 can see that the state spent the money in various
14 other ways related to clean tech R&D, renewable
15 investments, and other programs to further reduce
16 greenhouse gases from other sectors.

17 So how the states spent their money was
18 hugely important and in the fact that most of the
19 money was spent on energy efficiency had a very
20 big effect.

21 The overall economic impacts across the
22 nine states, \$1.3 billion in economic value added
23 in the region, about a billion was spent on the
24 auction proceeds. It led to a reduction in
25 revenues over the modeling period for generators

1 of about half a billion dollars and reduces the
2 amount the consumers pay on electricity and also
3 some savings in the heating sector on the order
4 of about half a billion dollars also. And then a
5 big thing from the Northeast perspective is we
6 have no indigenous resources, all of the RGGI
7 states essentially import all of the fossil fuels
8 that they use to generate electricity, so
9 investing in energy efficiency and investing in
10 renewables really reduced the amount of money
11 flowing out of the region for purchase of fossil
12 fuels, and that also is reflected in the economic
13 impacts.

14 And the model also identifies a number of
15 jobs, this is 14,000 jobs created over the
16 modeling period, but those are job years, not
17 actual -- so it could be 14 jobs a thousand years
18 each, or 1,400 jobs for 10 years, so... Yeah,
19 that would be good.

20 I'll jump ahead to the observations in
21 the interest of time here. So we looked at this
22 to figure out what does it imply for the impact
23 of the Cap-and-Trade Program over the first six
24 years on the economy, but also, again as I
25 mentioned, what's the implication for Clean Power

1 Plan compliance? The mechanism has functioned
2 quite well in the Northeast and can deliver
3 positive economic impacts. Obviously, as the cap
4 level changes, as how the program is administered
5 changes, that could change as well. But looking
6 at the actual data from real implementation of
7 the program over six years has generated positive
8 economic benefits for all of the RGGI states.

9 It has integrated seamlessly in the power
10 markets, all of these states are in fully
11 competitive wholesale market regions. The ISOs
12 in these regions, the RTOs, could essentially
13 have no idea the program was going on. The
14 offers that are made in the day-ahead market have
15 built into them the assumed cost, the assumed
16 value, the opportunity cost of allowances for all
17 the generators that are affected by the program
18 and all the systems have operated seamlessly in
19 that wholesale power market context.

20 The states have retained full
21 implementation authority. There was a remarkable
22 level of agreement among states on many difficult
23 issues that needed to be decided, but they have
24 worked cooperatively and have worked very well
25 for six years now, both in the original program

1 design and when the states had to take the design
2 back to their individual state regulatory
3 processes, all of that happened over a relatively
4 short period of time. Agreeing on setting the
5 cap and allocating the allowance pool over time
6 was, I think, a significant accomplishment. I
7 know back when this idea first came out, all of
8 the states including Massachusetts were saying
9 this is crazy, we're not going to be able to
10 agree amongst, you know, we don't even like New
11 York, let alone have to agree the allocation of
12 allowances that are going to affect money being
13 spent in each of the states. But across all of
14 the ten states that have originally designed it,
15 they managed to do that, agree on a program
16 design that the states all took back to the
17 individual states and have really efficiently
18 administered the program through regional
19 coordination of auctioning the allowances,
20 monitoring the market, and just administration
21 and governance of the program for six years,
22 including the major program redesign.

23 The design of the market, there are
24 really two huge issues and I know that most of
25 you in this state are aware of this, but that

1 really affect the economic impacts of RGGI, one
2 is the decision not to hand out the allowances to
3 power plant owners, but ultimately for the states
4 to retain that public right and transfer the
5 right to omit to the private sector at a monetary
6 cost, with revenues returning to the states. It
7 prevents the transfer of that value, of course,
8 to the power plant owners, but also allowed
9 states to use the money in ways to advance really
10 important public policy objectives within the
11 states. The states have used the proceeds
12 creatively to support their own public policy
13 interests and allowed them to meet a wide variety
14 of various public policy goals, including
15 addressing budget challenges, assisting low
16 income customers, restoring wetlands, these are
17 just a handful of examples of the ways that the
18 RGGI states have used those monies, but also
19 promoting advanced energy technologies in
20 assisting municipalities with investments in
21 efficiency and renewables.

22 And of course, not to beat a dead horse
23 here, but how the states have used the money has
24 really affected the economic impact. The
25 majority of money going to energy efficiency

1 reduces consumption, particularly for
2 participants, but it has also had a meaningful
3 price suppression effect in all the wholesale
4 regions and that benefits everyone, and
5 ultimately keeps the investments and the impacts
6 within the electric sector. But other
7 investments have had strong returns, as well,
8 including giving money back to people to reduce
9 their electricity bills, and investments in job
10 training and education within the RGGI states.

11 I went through this. The jobs that were
12 created generally include the types of
13 investments you would think it would include with
14 the way the states have invested in the money,
15 folks that are installing energy efficiency
16 measures, installing boilers, folks that are
17 doing audits, money being invested in training
18 and education obviously is a good use of the
19 money within the states.

20 As I mentioned, within the RGGI states
21 they end up spending about \$1.3 billion less on
22 imported fossil fuels, and that's a direct
23 transfer of money that otherwise is going to
24 producing regions that stays within the RGGI
25 states for economic activity within those.

1 And then finally, you know, there are a
2 number of things that we found looking at the
3 administration of the program that have obvious
4 lessons for states that ultimately are going to
5 have to figure out how to comply with the Clean
6 Power Plan, including the fact that looking back
7 on it, while a lot of states may be anxious about
8 the idea of joining a regional compact, it turned
9 out to be relatively easy amongst a group of
10 states that are politically and economically
11 diverse, and don't necessarily like each other,
12 to be honest, in some cases.

13 The state authority was of course fully
14 preserved in the implementation of these
15 programs. There was agreement amongst the states
16 to do things cooperatively, but ultimately the
17 specific program design and the way the allowance
18 proceeds are, the way the allowances are
19 distributed and then the proceeds used stays
20 within state jurisdiction. And the common
21 pooling and auction of the allowance program and
22 the sheer governance has been accomplished very
23 efficiently, reducing program costs compared to
24 if every individual state was implementing its
25 own carbon program. And the retention of the

1 allowance proceeds, obviously, benefits states in
2 many ways.

3 So all of those lessons, I think, are
4 extremely important when you think about how all
5 of the states are in the process of considering,
6 "Should we be joining a regional program? Should
7 we join California's program? Should we join the
8 RGGI program? Should we create one of our own?"
9 I think both the RGGI Program and what California
10 has done create this model that can make things
11 work much more easily for other states and point
12 them in a direction of carbon reduction programs
13 that can be designed in a way that can help
14 mitigate economic impacts and mitigate the
15 impacts on consumers.

16 So with that, I'm happy to take any
17 questions.

18 CHAIRMAN WEISENMILLER: Yeah. I've got a
19 couple. So first as a request, my recollection
20 was that Sue Tierney has done some studies of the
21 Clean Energy Plan impacts on the power grid --

22 MR. HIBBARD: Yeah, Sue and I have
23 authored several studies.

24 CHAIRMAN WEISENMILLER: Yeah, so if you
25 could submit those for the record, I think that

1 would also help us.

2 MR. HIBBARD: I would be happy to.

3 CHAIRMAN WEISENMILLER: The other one
4 was, there is a website set up by a third party
5 that is tracking California's investments coming
6 out of Cap-and-Trade, I don't have the cite, but
7 we can certainly provide it later for the record.

8 And I was going to ask you, there's
9 certainly some science that would basically argue
10 that one of the first areas of impacts from
11 climate disruption would be at the poles, and
12 that would then affect the jet stream, which then
13 could have resulted in our drought and your Polar
14 Vortex. Do you have a sense of what the economic
15 impacts have been in either New England or your
16 state from the Polar Vortex?

17 MR. HIBBARD: Well, no, I don't. We
18 haven't studied that. There certainly have been
19 some analyses done by the system operator in New
20 England and by others about the impact of spiking
21 gas prices on electricity consumers that came
22 from extremely cold weather. And so just as a
23 really direct and obvious impact, that has had a
24 huge economic impact within the New England
25 Region. We're subject to pretty severe

1 constraints on the interstate pipeline system
2 coming into the region, so when it gets cold and
3 those pipelines are constrained, the price of
4 power just shoots through the roof, and that's
5 had a huge impact. So to the extent that climate
6 change is affecting the severity of cold weather
7 within the New England Region, that's felt right
8 in the pocketbooks of electricity consumers. But
9 we haven't tried to look, you know, as I
10 mentioned earlier, we just wanted to isolate,
11 take a snapshot of what the effect was of the
12 allowance proceeds, and we didn't try to
13 estimate, you know, economic benefits or costs
14 associated with the impact of the program.

15 MR. ROSSI: I'm not going to talk about
16 the Polar Vortex. But if you would go to your
17 slide 12 and just sort of take me through this?
18 And also, there's an underlying assumption that
19 through taxation and then a reallocation of those
20 dollars that they are an economic benefit that is
21 net to what they might otherwise have spent if
22 they were in a consumer's hands. So, I mean,
23 that underlying premise doesn't strike me as
24 actually one that you would base the statement
25 that there's economic value created. But

1 regardless of that, on page 12, you know, \$1.3
2 billion economic value, what is a social
3 discount?

4 MR. HIBBARD: It's a three percent rate,
5 it's something that is applied in the case of
6 public policy programs. But we also looked at it
7 at a seven percent discount rate, and it changes
8 the numbers and makes them smaller in terms of --

9 MR. ROSSI: Considerably.

10 MR. HIBBARD: -- well, not considerably,
11 it doesn't qualitatively change the results.
12 That's all in the report if you want to look at
13 that.

14 MR. ROSSI: Is it real or nominal?

15 MR. HIBBARD: Real.

16 MR. ROSSI: Yeah, and then as I drop down
17 to your consumer savings is about equal to the
18 reduction in revenues to power plant owners, it's
19 a little higher, or a little lower, and I look at
20 the fewer dollars spent on out of region fossil
21 fuel, which is certainly a benefit, but it's
22 equal to the cost of the \$1.3 million that's been
23 taken out of the system, brought into government,
24 and then put back into the system at whatever
25 real rate that is. I'm not sure that is all that

1 great an economic input is what I'm trying to
2 understand here.

3 MR. RIBBARD: You know, if you take a
4 step back, the RGGI states are not trying to
5 create an economic development program by
6 implementing the RGGI Program; ultimately they
7 agreed amongst all the states that they wanted to
8 do something about climate change when something
9 wasn't happening at the Federal level. So they
10 implemented the program. The real question here
11 is, how has it affected the RGGI states? So we
12 make it very clear when you look at this, in the
13 implications of this for other states, that that
14 \$1.27 billion in money not being spent in fossil
15 fuel production is a negative economic impact on
16 states outside of the RGGI region.

17 You know, what we're asked to do is say
18 look at the RGGI states, figure out how has it
19 affected their economies. So there are transfers
20 involved in the economic analysis here. On your
21 point about the money being collected, the loss
22 of revenues from power plant owners is actually a
23 fairly strong negative impact in our results and
24 it moderates the positive impacts that flow from
25 investments ultimately in energy efficiency. So

1 it's not -- we try to account for both sides of
2 the ledger on that. But the most important thing
3 to recognize here is, if we did this for the
4 entire country for the Clean Power Plan, then
5 ultimately there would be winners and losers
6 across states would be my guess because --

7 MR. ROSSI: Oh, look, I absolutely agree
8 with you. I'm not trying to make a point other
9 than there's not enough data here over a period
10 of time that one can really make the statement
11 that there's an economic benefit of
12 sustainability, and which you even get to in a
13 later slide where you talk about the jobs, some
14 being temporary, some lasting three years, so I
15 just want to be clear about that, that the
16 analysis that happens a lot in this arena, and
17 not RGGI, but in the renewables arena, in the
18 impacts, and what you can do and you can't do,
19 tends to lose a little value over time because of
20 the lack of analysis of sustainability and prices
21 and weak points in assumptions that lead you to
22 the kind of stuff we saw in the first
23 presentation. So I'm just trying to be careful
24 here because, as Bob says, I get asked about the
25 models all the time and what the impact is on the

1 economy. And I think that what you've shown here
2 for a short period of time, pretty damn
3 interesting. We have to see what it means over
4 time and the impacts of increase in cost
5 basically netted against the values in your
6 report on reductions as a result of energy
7 efficiency.

8 MR. RIBBARD: Yeah and, you know, when
9 RGGI did their redesign in 2012, they did sort of
10 a really comprehensive forward -- they were
11 trying to figure out where do we want to set the
12 cap. They ultimately reduced it by about half,
13 but when they did that, they did a forward
14 looking analysis that looked at the impact on the
15 power sector, they looked at the impact on the
16 economies, and they looked at the impact on
17 electricity consumers. What we were asked to do
18 is say, yeah, there's only six years, but there's
19 actually six years of real data and real impacts,
20 just take a snapshot of that and see what it
21 looks like the impacts on consumers are, not to
22 forecast what the impacts will be, whether or not
23 the program should go forward, this is a
24 snapshot. So you're right, there's not -- I
25 don't think anywhere in the country is there a

1 lot of data on actual experience at the timescale
2 of decades, but we do have six years of program
3 implementation and it leads to one conclusion
4 based upon what you look at here, which we try to
5 be careful in the report to say this is not a
6 forecast, we don't know where this goes when you
7 change cap levels, but this is a snapshot of what
8 has happened in the region.

9 MR. ROSSI: Thank you.

10 CHAIRMAN WEISENMILLER: Great. Thanks
11 again for coming out, we appreciate that. Let's
12 go back to Jim Williams now. Thanks. Actually,
13 it's an interesting thing because I think Mike
14 and I used to always ask Jim in Pathways how Cap-
15 and-Trade was reflected.

16 MR. WILLIAMS: Can I take that one after
17 my talk, Bob?

18 CHAIRMAN WEISENMILLER: Yeah, yeah.

19 MR. WILLIAMS: Sorry I was late this
20 morning. My wife and I have been driving from
21 our home in Berkeley to San Rafael a lot to take
22 care of her ill and aging father, and when I came
23 to awareness behind the wheel, I was in San
24 Rafael. In my internal Google Maps, I had typed
25 in SA and gotten San Rafael instead of

1 Sacramento, and so sorry about that.

2 Okay, so I was given the modest charge of
3 talking about deep de-carbonization pathways in
4 California, the U.S., and the world, and talking
5 about research directions in the process in 12
6 minutes, so...

7 I think most people here are probably
8 familiar with the work that E3 has been doing in
9 California over the years, and so I actually
10 won't talk about it, just to say that the sort of
11 results and methods for the three studies shown
12 here are available on the E3 website.

13 People might be a little less aware that
14 we've been involved in something called the Deep
15 De-carbonization Pathways Project, which is sort
16 of an NGO activity chartered by Secretary General
17 Ban Ki-moon, and it involved as of last year 15
18 countries, there's more now with about three-
19 quarters of global emissions all the big
20 industrialized countries, all the big developing
21 countries, and basically what they've been doing
22 is figuring out how in each one of their
23 countries they could achieve emission reductions
24 consistent with keeping warming to two degrees or
25 less. There was a report last fall that over the

1 next month or so there are going to be individual
2 country reports from 16 countries coming out,
3 there will probably be some press that you'll see
4 about that.

5 At COP-21, there is an effort going on to
6 make De-Carbonization analysis part of the UNFCCC
7 process. And the reasons for that are basically,
8 as it says, to improve the policy discussion and
9 encourage cooperation. A big part of what
10 doesn't normally happen in the international
11 process is people putting their cards on the
12 table: what are the assumptions? What are your
13 real intentions? What kind of benchmarks for
14 progress are out there?

15 By what's been demonstrated in the DDPP
16 is that unofficial research teams have put their
17 cards on the table, that there's mutual
18 instruction and mutual learning going on. The
19 nature of the dialogue shifts the focus away from
20 abstractions about policy mechanisms and debates
21 over equity and burden sharing to actual kind of
22 problem solving around an energy system
23 transformation. And also more focus on mutual
24 benefits, less treatment of climate policy as a
25 dead weight loss, and more as something that

1 might be beneficial. A lot of eyes are on
2 California in this process and it won't surprise
3 anybody to know that.

4 And then there's identification to market
5 opportunities, and I'm going to show something on
6 that in the next slide. One of the things that
7 E3 is doing is developing the Next Generation
8 Pathways Model, it's in Python, and it's going to
9 be cool in a lot of ways, some of which are
10 relevant to my research recommendations at the
11 end of this presentation. But for the purposes
12 of the DDPP, it's basically making a common
13 modeling tool available for all countries that
14 want to participate, it's not necessarily to
15 exclude other modeling frameworks, but there does
16 need to be ways to improve comparability of
17 results as, again, as part of sort of better
18 transparency and putting cards on the table.

19 Now that point about identifying market
20 opportunities, this was an analysis that we did
21 using a simple one-factor learning curve, but
22 basically what this is showing is what happens
23 with key low carbon technologies in
24 transportation, in power generation, and so
25 forth, if each country essentially goes it alone

1 and is buying off their own market based on sort
2 of current assumptions about what costs will be
3 versus what happens if big global markets develop
4 in those same technologies, and so the gray lines
5 are what the costs would be for, for instance,
6 EVs or Fuel Cell Vehicles, versus the colored
7 lines which show what they are where this
8 learning takes place. And I think this has an
9 implication for California and other leaders.

10 We're not really a big enough tail to wag
11 the global dog in terms of what we do with our
12 own emissions, but if part of what we do is to
13 catalyze the creation of big technology markets
14 that brings down the cost, that can have a very
15 large global effect on feasibility. Also in the
16 equity question, you bring the cost of clean
17 technologies down to a level where developing
18 countries can afford them, that really changes
19 the terms of the equity debate.

20 Okay, so one of the studies that was
21 produced for the DDPP was this one here, some
22 people I think have seen it, that asks the
23 question what it would take for the U.S. to
24 achieve 80 percent greenhouse gas emission
25 reductions below 1990 levels by 2050. And it

1 asks the question, is it technically feasible?
2 I'll save you the suspense, the answer was yes.
3 What would it cost? On the order of one percent
4 of GDP plus or minus a bunch. What physical
5 changes are required? We'll talk about that in a
6 second.

7 And then there is a supplemental report
8 with a lot more sort of granular detail at the
9 regional level, the sub-sectoral level, and so
10 forth that we've been working on lately and also
11 been sort of trying to spell out some of the
12 policy implications. So that will be coming out
13 in a month or two.

14 There's no time to show lots of charts
15 and graphs. I find it may be easier to relate
16 the results for our U.S. study in terms of three
17 seeming paradoxes; the first is the physical
18 energy system itself, it's a big change going
19 from a fossil fuel-based system to one that
20 isn't, but there's relatively little change in
21 energy service required; that is, the implication
22 is you're still driving, you're still washing and
23 drying your clothes, etc., etc., to decarbonize
24 the system does not necessarily require that we
25 create Utopia.

1 The deeply decarbonized energy economy,
2 well, there's a big change in where money goes in
3 that economy, what it gets invested in. I think
4 what we just saw from Paul is sort of an
5 indicator in a short-term and historical kind of
6 way what we see looking forward, you're not
7 spending a trillion dollars a year on fossil fuel
8 purchases in the United States, you're spending
9 something comparable to that on basically
10 equipment and infrastructure instead, it's more
11 of a manufacturing-based energy economy than a
12 fuel-based energy economy. It's more of a
13 capital cost-based energy economy than a variable
14 cost-based energy economy.

15 But from the standpoint of how those all
16 net out, it looks to us like the change in
17 consumer costs, things that you're paying for
18 transportation and for heating your homes and so
19 forth is relatively small.

20 And finally, there's a deeply
21 decarbonized macro economy, as we say, on the
22 order of a percent of GDP. We currently spend
23 for energy seven or eight percent of GDP, so this
24 is not necessarily a huge change. But there are
25 some benefits for the macro economy that may

1 belie the scale of the net impact when you think
2 about relative price stability, the
3 predictability of sort of an equipment-based
4 energy economy as opposed to one that's sort of
5 fuel-based like the oil economy we have now.

6 In brief, how do you get there from here?
7 There's three pillars, the economy, the energy
8 end use needs to become much more efficient,
9 electricity needs to be greatly decarbonized, a
10 factor of about 30 below of the current average
11 rate, and there needs to be a lot of fuel
12 switching to electricity and electric sources as
13 to say things like hydrogen that you're producing
14 from electricity also count in that, and across
15 all the scenarios that we did more than half of
16 end uses are either being met with electricity or
17 electricity-produced fuels.

18 These findings are robust across all our
19 cases for the U.S. and they're also robust across
20 all the cases that we've seen in the DDPP for the
21 rest of the world. Eventually everybody has to
22 go essentially in these same directions. That is
23 how you decarbonize the modern economy.

24 As a sort of general proposition, I'm
25 thinking about the design of systems, there are

1 sort of five factors that interact with each
2 other. You can come up with a whole lot of
3 different scenarios, we did four for the United
4 States, but there's many others that are
5 possible. Those were whether CCS is in the
6 picture or not and how it gets used, how much
7 sustainable, that is, low carbon biomass you
8 think you have and how you apply that, what your
9 generation approach is, and then from the
10 generation approach what you do for electricity
11 balancing, which is obviously different than,
12 say, a high renewables case than it might be in a
13 high CCS case. And then finally what your fuel
14 switching strategies are. All of these sort of
15 directions and pathways that jurisdictions might
16 want to go in to meet these decarbonization goals
17 are going to involve permutations of these
18 different things. And so what sort of faces us
19 as analysts and planners and policy makers is
20 sort of figuring out what works best in our own
21 bailiwick, and these are sort of the general
22 findings we have from looking across the levels
23 from California on out to the global level of
24 what deep decarbonization, that is, getting to
25 something compatible with two degrees is going to

1 require from policymakers.

2 And this sort of implicitly assumes that
3 there's not one magic ring to rule them all, that
4 there is in fact a policy patchwork quilt and
5 that's fundamentally going to be sectoral by
6 nature and that things are going to have to be
7 figured out. So you need to know what policy
8 must accomplish. You need to have a plan, so for
9 what policy has to accomplish basically means
10 what is the sort of physical and financial
11 requirements of achieving the kind of
12 transformations, that you're talking about having
13 a plan means doing the necessary sort of
14 anticipatory coordination among sectors, across
15 sectors, and so forth, have a business model
16 means that if your policies don't provide
17 incentives for investors to invest, businesses to
18 do businesses, and consumers to take up
19 technologies, then it's not going to work. And
20 then finally, prepare a strategy for future
21 choices.

22 And so just one quick example from our
23 studies of each one of those to know what policy
24 must accomplish. One example is that there has
25 to be timely replacement; that is, the sort of

1 lifetimes of the equipment and infrastructure
2 that has the most to do with carbon emissions is
3 long compared to the time remaining between now
4 and the middle of the century. And so for most
5 things you don't have a lot of shots at it before
6 something has to change. Your policy has to sort
7 of deal with that, otherwise you either won't
8 make your emissions level, or you're going to end
9 up with early retirement stranded assets.

10 Secondly, have a plan. So integrating
11 supply and demand-side planning and procurement
12 in the electricity sector, for example, this is
13 showing the WECC in 2050 in our model, and the
14 upper figure is the generation side, the lower
15 figure is the load side, this is a high renewable
16 system, and a high renewable system is going to
17 need a lot of demand side participation, it means
18 a really different kind of wholesale market from
19 the one that we have at present. A lot of things
20 need to be figured out about how you sort of
21 jointly coordinate the roll-out of large amounts
22 of flexible load, in this case for instance
23 hydrogen production, where the load could be on
24 the scale of something like 30 percent of total
25 system load. We don't have that sort of

1 bidirectional sort of equal treatment of loads
2 and generation in our system now, that's a
3 planning problem going forward that would have to
4 be addressed.

5 Business model, well, to get the kind of
6 level of transformation of light-duty vehicles
7 that is going to be needed, and this is just one
8 particular scenario, so the proportions between
9 battery and hydrogen, this changes depending on
10 what approach you want to take, but what is true
11 is that the uptake rates that you're seeing here
12 are very rapid. And if you don't have a plan for
13 how manufacturers are going to manufacturer those
14 and what sort of incentives consumers are going
15 to see that are going to make them want to sort
16 of do that kind of uptake, then you don't really
17 have a policy that's going to work.

18 And finally, prepare a strategy for
19 future choices. I talked about planning, I
20 talked about having business models, but things
21 are going to change, there's going to be market
22 discoveries, there's going to be technologies
23 that don't work, there's going to be new ones
24 that we don't anticipate. And we know already in
25 California that there are a bunch of big sort of

1 multi-billion dollar, very consequential future
2 transformations where there are choices, where
3 there are going to be forks in the road, and a
4 lot of these are going to be decided in the next
5 decade if we really pursue the policies that
6 we're committed to. What's our strategy toward
7 electricity balancing? What is the future of the
8 distribution level natural gas pipeline? Is it
9 going to be an EV or a Fuel Cell, or some kind of
10 Hybrid approach on LDVs? How is biomass going to
11 be allocated? Is it going to be for transport
12 fuel? If so, is it going to be for Ethanol? It
13 doesn't look like a particularly good idea from
14 our standpoint. Or is it going to be used in the
15 pipeline to sort of decarbonize the pipeline?
16 And depending on the fate of the pipeline, are
17 you going to electrify building loads or go with
18 very high energy efficiency and maintain gas in
19 buildings? So these are all very consequential
20 questions that we don't necessarily know enough
21 now to answer. And so what can we do to sort of
22 prepare to be able to answer these questions
23 later on?

24 So this was my fun slide. So I think
25 there's sort of three steps in charting our

1 course: is deep decarbonization possible?
2 That's work we've been doing over a few years.
3 And what pathways can lead us there? We can
4 identify those, California has already sort of
5 narrowed down certain options, I can say with
6 some confidence that we're not going to go the
7 high nuclear route in California, okay, so that
8 may not be the case everywhere.

9 But then how do we navigate along the
10 way? And so I sort of see California being at
11 this stage between having identified some
12 pathways and actually being in the middle of all
13 of the implementation problems. And so I have a
14 Mars Rover there and I guess that's my take home
15 as I propose sort of an anticipatory research
16 agenda, is that we need sort of a Mars Rover that
17 helps us orient ourselves and figure out what
18 kind of information we're going to be needing in
19 order to answer those questions about this
20 technology path or that technology path that I
21 was just describing. So we need a robust
22 analytical framework with advanced sensitivity
23 and uncertainty methods for assessing forks in
24 the road, what are the points of no return?
25 What's the timing of major investment decisions?

1 What are the risks to costs on emissions levels?
2 And the path dependency of technology choices.
3 What rate in timing of consumer adoption is
4 needed? And how does changing that change
5 outcomes? What information is needed to make
6 good decisions? How can it be obtained? And how
7 do external factors -- this is from the
8 California perspective -- like Federal policy,
9 regional integration, oil prices, and global
10 technology markets effect outcomes?

11 And so that is my proposal as something
12 that we need to do collectively. It's sort of
13 meta, this all relates back to those Pathway
14 choices, and it relates to sort of what the
15 obligations of policymakers and analysts are in
16 order to be able to make update plans and to sort
17 of refresh and inform our business models and so
18 forth, we need to anticipate that these sort of
19 questions are going to be revisited constantly,
20 as long as we're along the path. All right,
21 thank you.

22 CHAIRMAN WEISENMILLER: Thanks. No, I
23 certainly also was going to thank your focus on
24 International, again, I think we all go back to
25 the basic facts that California is one percent of

1 the world's greenhouse gas emissions, and we can
2 certainly lead through leadership, but at the end
3 of the day if we're not changing things in the
4 rest of the west, changing things on a global
5 basis, it really won't matter what we're doing
6 here. So again, I really appreciate your focus
7 on the UN project.

8 MR. WILLIAMS: Thank you, Bob. Maybe
9 I'll make one quick announcement while we're at
10 it. So one little addendum to next steps for the
11 deep decarbonization pathways project is that I
12 was asked to become the Director of it, so I'm
13 not directing the project. The previous
14 director, Emmanuel Garant, is now the Assistant
15 to Minister Fabias and the French Ambassador for
16 Climate Change, Laurence Tubiana. And so he's
17 been very busy preparing the Cop (ph). So I was
18 asked to step in. So if people have questions
19 about the DDPP, the buck stops here.

20 CHAIRMAN WEISENMILLER: Okay. Great. So
21 just bringing back for a second to talk about the
22 Pathways stuff that we looked at last year, what
23 happened was we ran out of time and money, we
24 ultimately closed things up. And one of the
25 things that really was obvious at the time was, I

1 don't remember the precise oil price forecast you
2 had, but it was sort of what everyone believed
3 roughly a year and a half ago, and just as you
4 flip the button on print, you know, prices just
5 fell through the floor. And so one of the things
6 I know Mike and I focused a lot on was what did
7 that mean in terms of risk assessment which gets
8 to the broader question. In your slide, you had
9 that one slide on, I think it was
10 commercialization risk. So it was a pretty
11 limited spectrum of what the risks are for these
12 plans, and in that frankly most of it was
13 renewable integration, you had this sort of
14 series of technologies that might help, but none
15 of them were quite there. And the sort of heat
16 pumps commercialization. So that was sort of the
17 other one which was like, who knows what we're
18 getting into there? But having said that, there
19 does need to be a need to really do that
20 systematic type of risk assessment and certainly
21 we did some stuff with you on oil prices, most of
22 that I don't think has been shared with anyone
23 but Mike and I, but that generally we do need to
24 have a more systematic approach on what are the
25 key variables, what's the risk assessment, how do

1 you mitigate that? And again, we both concluded
2 as, well, it was a complicated model, there were
3 always a lot of pluses or minuses, frankly, with
4 the reduced oil prices. But a lot of the
5 mitigation strategies for that frankly are
6 national, not global in nature, California is not
7 well-positioned to mitigate oil price drops and
8 what that might mean here. So I don't know if
9 you have ideas on how we can better approach risk
10 assessment?

11 MR. WILLIAMS: Well, I'll tell you how
12 we're doing it, and this is sort of
13 methodological, so forgive me. But there are two
14 things, both of them have to do with sort of our
15 current updates to the Pathways tool. Those in
16 the state who have looked at the Pathways tool
17 are probably profoundly aware of some of the
18 limitations of Analytic, including run time, and
19 so that's why we're building it in Python and
20 making sort of much better sort of input and
21 output, but also we're down to about one minute
22 run times now. And what that means is that you
23 can do sort of a lot of parallel runs and that
24 you can start doing -- see, one of our premises
25 is we don't like to do optimizations because

1 optimizations typically imbed relationships that
2 especially over these kinds of timelines of
3 decades, it's just foolish to say that you're
4 going to have the same structural relationships
5 and economy 30 or 40 years from now that you have
6 right now. And so that's why we have always
7 chosen the path of an accounting tool
8 essentially, but then you get to the question of
9 how do you deal with uncertainty in the
10 accounting tool, and the last version we were
11 able to sort of look at high and low input values
12 and so forth, but the holy grail there I think is
13 to be able to do the sort of complete charting of
14 estate space without being constrained by
15 optimization and what it assumes about
16 relationships and decision variables that we have
17 no way of knowing about. So the idea here is
18 having a model that continues to be an accounting
19 tool that really only involves physical and sort
20 of direct cost relationships, but where you can
21 sort of multiply vary all kinds of things and
22 chart out entire state spaces what you can do
23 because it runs fast and you can look at a whole
24 lot of things in a relatively short period of
25 time. So that's sort of our methodological

1 approach.

2 And in terms of sort of one advantage of
3 being involved in the DDPP and doing the modeling
4 at different levels, sort of all the way from
5 cities up to global, is if you do those on the
6 same platform, then the linkages and assumptions
7 and boundary conditions are starting to look
8 similar. So that all sounded a little grandiose,
9 especially compared to how much work is involved
10 in making that happen, but that is sort of our
11 aspirational goal.

12 CHAIRMAN WEISENMILLER: Well, certainly I
13 think the one thing we've all learned is that,
14 again, we're talking scenarios as opposed to a
15 forecast, and the beauty of scenarios is that you
16 can try to map out the uncertainty space better.
17 Otherwise you're left -- single-point forecasts
18 have never been particularly accurate in the
19 energy area, at least in my 30 years.

20 COMMISSIONER MCALLISTER: Mike, do you
21 have any questions? No. You asked all your
22 questions previously, I guess. So this is really
23 helpful, I think the engagement around these
24 questions, you know, despite some of the gaps and
25 holes and limitations on resources and time, you

1 know, it's helpful to have it highlight the key
2 questions and think kind of creatively at some
3 level, at a high level about how we might really
4 engage with these issues and it's difficult, so
5 we need that.

6 And I also appreciate your highlighting
7 your distilled lists here, both of the choices,
8 the needs, and also the research agenda I think
9 is helpful, you know, at a high level, and I
10 appreciate your highlighting in particular the
11 question on electrification on the one hand, and
12 high energy efficiency on the other, and it's a
13 bit of a tradeoff, but there are a lot of
14 different scenarios there and technology
15 questions, so really I'm thinking a lot about
16 that.

17 Your fourth recommendation -- yeah, that
18 research agenda is about what information data we
19 need to engage with these issues, and this is a
20 really high priority of mine. Ever since I got
21 here at the Commission, I'd see the constraints
22 around our ability to get the right information
23 to do the right analysis, to make the most
24 informed policy decisions we can, and I guess you
25 know, drilling into that a little bit, sort of a

1 plan just on that actually at some level would be
2 interesting and I wanted to just put it out there
3 and not just to the audience and the record, but
4 to the people who are here on the Dais that,
5 again, I think that it's really important to
6 figure out to best leverage our authority most
7 effectively and really figure out how to navigate
8 the tricky kind of regulatory and statutory
9 issues to get where we need to go, and inform
10 that kind of analysis to answer the questions
11 that we really need to answer. So I think
12 drilling into that item of the research agenda,
13 not necessarily putting that on E3's plate, but I
14 think that's just a priority to work through in a
15 very collective and intentional way across the
16 agencies and with the Governor's Office.

17 And then I guess, you know, any
18 observations you have about that would certainly
19 be welcome. You know, the international stuff is
20 really interesting, you know, I have a lot of
21 sort of experience across different countries
22 doing this kind of work, and our particular
23 context here in California is that we have a very
24 robust democracy and a lot of stakeholders, and
25 this uptake question, consumer response, you

1 know, business model, even just within our
2 regulatory processes, getting to workable
3 solution that's actually doable in the
4 marketplace by somebody who can make some money
5 and actually move it forward and scale it, you
6 know, whatever particular thing we're talking
7 about is. It's not -- we ain't China, right? We
8 can't sort of say, "Okay, this is Dichtung (ph)."
9 So that has to be workable and I think the
10 challenge that we have here is making sure that
11 our stakeholder groups are both manageable, it's
12 a big big tradeoff. If our stakeholder groups
13 are manageable, then we can move forward in the
14 timeframe that's necessary, this urgency. But
15 also have it be broad enough that we actually do
16 end up with some consensus that's workable and we
17 actually do have comfort out there that, yes, if
18 these investment decisions are made, they're
19 actually going to pay off, and we're basically on
20 the same page with this broad swath of
21 stakeholders for any given issue. And certainly
22 at the macro level here, there's just thousands
23 of stakeholders in the state.

24 So I want to just hold up that as sort of
25 something to think creatively about, as well.

1 And it's more of a policy agenda, a research
2 agenda, than a technical or even scenario-based,
3 but it really is a key key, I think, area that we
4 need to work on.

5 MR. ROSSI: I couldn't resist, Jim.
6 There are two things that occurred to me as I was
7 listening to what was just said. The one percent
8 GDP cost is not flat, it has to ramp up. And if
9 that's global, the peaks will be higher in
10 regional economies. So along with the point that
11 was just being made, is that one percent doesn't
12 sound like much, it just depends on where you
13 are. It's that old adage, on average it's fine
14 if you're walking across the stream that's three-
15 feet high and you just happen to fall into that
16 particular hole that happens to be 12-feet deep,
17 right. So as you and I discussed in the past, I
18 think we need to have more thought process around
19 the phasing of these things in order not to end
20 up with the law of unintended consequences
21 slapping us in the head, which actually leads me
22 to your page 5, or slide 5? Policies that could
23 result in getting larger marketplaces and dealing
24 with these initial expenses to drive these
25 efficiencies, or this innovation, seem to me to

1 be something we don't do well, whether it's
2 because of a robust democracy. Or even the
3 Chinese don't have a very good handle on it,
4 beyond their own country. So as you look at
5 that, that for me is a very interesting area to
6 explore from a policy perspective because if you
7 could really drive the cost down in the
8 percentages that would appear here, it changes
9 the game dramatically. All the rest of the pages
10 you can throw away. If you could do this, you'd
11 change the game unbelievably dramatically.

12 MR. WILLIAMS: I couldn't agree more,
13 Mike. And as to your first point, the upcoming
14 supplement that will be coming out in September
15 for our U.S. work is going to show a lot more
16 sort of at the U.S. Regional and Sectoral levels
17 than our first report did. And what Paul said a
18 minute ago is absolutely true, there are winners
19 and losers, there's no question that there are
20 winners and losers if you're going to follow this
21 pathway. But the argument that I would make is
22 that it looks like the losers are more
23 concentrated in certain industries and uncertain
24 regions, and the potential winners -- and since
25 this is manufacturing-based and that's something

1 of a trade policy, an industrial policy issue,
2 you can't really say categorically how that's
3 going to work out, but there is the potential for
4 winners to be very widespread. There's sort of a
5 democratization effect on the energy economy, or
6 there could be, and this is sort of counter to
7 the losers because there will categorically be
8 losers in this world, too.

9 MR. ROSSI: Well, there are losers in
10 this world as it exists, that's what at least
11 free markets are all about, winners and losers.
12 I don't think that ought to drive anyone's
13 policymaking decision, or certainly protectionism
14 of one thing or another, progress is not going to
15 stop because of that particular thought process,
16 right? We all know that. We may not like the
17 rapidity at which progress changes, but it does
18 change, or moves, and it does move. But getting
19 back to something Bob had said earlier, the issue
20 of identifying as you fill out all of these
21 scenarios, those things which are the most
22 important to drive the change, what is the
23 volatility aspects of those things happening?
24 And we don't see enough of that and analysis done
25 in this arena. It's a huge conceptual issue in

1 trying to decide what the policy ought to be. So
2 I think it's important for us, Bob, as we have
3 our conversations, that we constantly focus on
4 the issue -- and this sounds great, but these
5 three things have to happen, and as I looked at
6 -- just looking there, the idea that we're going
7 to drive that many sales of Electric Vehicles as
8 we sit today is just not realistic. So that
9 means it has to happen, but the probabilities of
10 it happening as we sit today are hard to envision
11 without other things happening in a major way.
12 So it's that kind of analysis that is much more
13 helpful than running a bunch of scenarios without
14 any sensitivities and running sensitivities
15 without any probabilities when you're talking
16 about actually talking about people's lives.

17 CHAIRMAN WEISENMILLER: Actually I guess
18 one follow-up, too, is obviously we get a lot of
19 questions from the Legislature about impacts
20 across our society, you know. At this point a
21 lot of our programs are really influencing the
22 early adaptors who just happen to be relatively
23 high income. And trying to see going forward
24 where the impacts are going to be across our
25 society, particularly in terms of the

1 disadvantaged communities, just trying to make
2 sure that, again, we -- I think part of it comes
3 to having just as we need mitigation strategies
4 for risk, we need mitigation strategies for some
5 of those impacts.

6 COMMISSIONER MCALLISTER: I was going to
7 -- I was thinking as you were talking also just
8 sort of about highlighting no regrets type
9 strategies. That seems really important and to
10 disadvantaged communities and low income
11 populations, you know, having a different sort of
12 cost benefit profile privately and individually,
13 but may actually fall -- there may be ways to
14 frame it such that they actually are in and no
15 regrets, they end up in a no regrets type of
16 approach that is good for many many reasons, not
17 just for even carbon or energy policy. But I
18 agree, I mean, this issue of consumer uptick in a
19 voluntary environment is hugely difficult because
20 when you offer a carrot it's to whoever can eat
21 the carrot, and that's who is going to
22 participate. And so how do you then scale that
23 up and use that opportunity to get to the massive
24 market and create value for everybody who
25 couldn't afford that, who couldn't take advantage

1 of that program, or eat that carrot? So there
2 are lots of program design issues I think that
3 really are in a lot of ways where the rubber hits
4 the road, we've got to decide on the policies,
5 but then get the program initiatives done in a
6 way that really works with reality, and pushes in
7 the right directions.

8 MR. WILLIAMS: Yeah, and I would just add
9 to that, you know, the question of
10 conditionality, if you're in the quadrant, the
11 quadrant that I think Mike Rossi worries about,
12 of being in a high interest rate at low oil price
13 world, you know, you're going to be walking a
14 more narrow path, but what is that path going to
15 be contingent on? That kind of information
16 becomes more important in that world than it is
17 in the opposite world where we continue to have
18 low interest rates and higher oil prices.

19 CHAIRMAN WEISENMILLER: Okay, thanks for
20 being here and certainly thanks for your work at
21 the U.N.

22 MS. RAITT: All right, thanks. Our next
23 speaker is Brian Tarroja from U.C. Irvine.

24 MR. TARROJA: Good morning, everyone. So
25 my presentation is going to take a bit of a

1 different flavor than a lot of the ones that have
2 gone before it in the fact that there are no
3 dollar signs in this presentation anywhere. So
4 I'm not going to be talking about economics at
5 all, there's -

6 CHAIRMAN WEISENMILLER: I think Mike
7 Rossi just fell asleep.

8 MR. TARROJA: Oh, yeah, well he's seen
9 this. But mine is going to kind of take a step
10 back and really start to consider more directly
11 the air quality implications of a lot of these
12 deep greenhouse gas reduction strategies, right?

13 So air quality is something we have a
14 long history of in California and, you know, I
15 don't want to say that's been kind of put to the
16 side, but definitely more attention has been
17 given to greenhouse gas in terms of climate
18 change in the global scale. So the title of my
19 talk is Transition to a Low Carbon Economy: The
20 Air Quality Considerations.

21 So just some context. It actually was
22 good that Jim went before me because this sets it
23 up quite nice. Transitioning to a low carbon
24 economy is hinged on increased use of carbon as
25 primary energy resources, and that means

1 electricity, right, a lot of the stuff, the work
2 that Jim has done and the stuff he's talked about
3 shows that electricity kind of has this central
4 role in making this low carbon economy possible,
5 right, electrification of services that have
6 historically not relied on electricity is
7 something that you're going to have to do to a
8 large extent.

9 And however, for greenhouse gasses, we've
10 really focused a lot of our attention on the
11 electricity and light-duty transportation
12 sectors. There's some reasons why I think that
13 has occurred, but that's kind of what we look at
14 because it's a large portion of greenhouse gas
15 emissions, it's something that you can somewhat
16 uniformly address, right? Light-duty
17 transportation as opposed to heavy-duty
18 transportation, the latter of which is much more
19 diverse, right?

20 So in California 2013, light-duty
21 transportation and electricity, about a little
22 over half of the greenhouse gas emissions, right.
23 And as we know, much of California is not in
24 attainment of Federal or State Air Pollutant
25 Concentrations Standards. So the main question

1 that I want to hopefully give some insight into
2 here is how does deep greenhouse gas reduction
3 strategies impact air quality? And how does it
4 help or hurt our progress towards meeting
5 standards for air pollutant concentrations, which
6 most of California doesn't meet?

7 So this is just a little bit of
8 background, you guys are all familiar with this,
9 this is from the Scoping Plan. We've done pretty
10 good in getting our greenhouse gas emissions down
11 toward 1990 levels by 2020 and, you know, that's
12 all nice and good, but we're going to have to do
13 much better as we move forward, and that means
14 meta transformations, things that people have
15 talked about here. And there's also the history
16 of air quality. I don't know if any of you guys
17 are old enough to remember this, this is in 1948,
18 I'm obviously not, but -- so he knows -- right,
19 been there, so air quality really has become, it
20 really was like *the* major focus for quite a while
21 and then we kind of got done pretty well as far
22 as that goes, even though we don't meet the
23 standards, we don't have this kind of deal going
24 on down in Southern California where I'm from.
25 But we still have a lot more to go, right? So

1 this is a bit old, this 2009, but even if you
2 look in more recent charts, it's about the same.
3 And that's basically the counties in California
4 that are designated nonattainment. Basically the
5 Air Pollutant concentrations of four or five of
6 the National Ambient Air Quality Standard
7 Pollutants are too high. And almost all of those
8 are in California, actually only the red ones are
9 only in California. And there's Orange County
10 where I'm from.

11 So what I'm going to do here is I'm going
12 to do a little bit of an exercise. I have some
13 deep greenhouse gas prediction strategies from a
14 grid integration study that I did for electricity
15 and light-duty transportation. I'm going to walk
16 you through that and show you kind of the cases
17 that are able to meet the "goals" that we set for
18 it, and then we're going to see whether that
19 helps air quality, right?

20 So let's start with these, saying the
21 light-duty transportation sector, by 2050 we have
22 a 90 percent penetration of alternative vehicles,
23 that's very ambitious, but this is kind of a
24 bounding scenario. We look at 100-mile BEVs,
25 200-mile BEVs, and Fuel Cell Electric Vehicles,

1 and then the remaining 10 percent are just
2 advanced gasoline vehicles that meet the CAFE
3 Standards. We look at sensitivities to charging
4 location, whether there's charging available at
5 home and work, and basically whether charging is
6 dispatchable or not, and for hydrogen
7 electrolysis we assume that it's centrally
8 operated and dispatchable.

9 And then we couple all those vehicles
10 with a very renewable electric grid, right? We
11 install a very large capacity of renewables, this
12 actually ends of becoming more than we need, so
13 just look at these numbers here, right? It's
14 mostly solar and we install energy storage to
15 make sure that we can use a lot of solar, or
16 solar and wind, and so on. And we run this
17 through our Grid Balancing and Reliability Model
18 called High Grid, which I'd like to talk to Jim
19 about after, and basically just see, you know,
20 we'll have a parallel goal of 80 percent
21 reduction because that's what everyone seems to
22 use, and 80 percent reduction in those two
23 sectors as a 41.8 percent reduction in the total
24 state emissions, right.

25 So I just want to talk about charging.

1 We have immediate charging where everyone just
2 charges right when they get home, then you can
3 kind of see this doesn't necessarily align with
4 renewables. You can mitigate that using energy
5 storage where you store excess generation and
6 shift it to discharge one people of charge, or
7 you can just use Smart Charging, well, their
8 charging is dispatched to align with renewables
9 directly.

10 So at 255 gigawatts for renewables, which
11 is enormous, like I said, I heard some people
12 talking when I mentioned that number, you look
13 for these different vehicle types, there are some
14 vehicle and infrastructure configurations that do
15 meet very significant greenhouse gas reductions.

16 So a 2010 actual is way over here. If
17 you just use all advanced gasoline vehicles in
18 2050, you get down to here, but then you still
19 need to go quite a bit further to get this
20 "eighty percent" reduction. So BEVs are able to
21 meet it with a bunch of storage. BEVs that are
22 more efficient with less mileage can meet it with
23 less storage. You can install more renewables,
24 some of the Fuel Cell cases start to meet it.
25 You can install even more renewables, more cases

1 start to meet it, right? So this isn't
2 surprising to anybody.

3 But what does that mean for air quality,
4 right? So basically all I wanted to show that
5 for is that there are a lot of ways that you can
6 get deep greenhouse gas reductions, as Jim said
7 it's possible, right, there are many different
8 ways that it's possible, that's not the issue,
9 and especially for electricity and light-duty
10 transportation. But what does that impact, what
11 does that have on air quality? So the way that
12 we did this is we took a lot of those scenarios,
13 we had their spatial and temporal distribution of
14 emissions, right, but it doesn't stop there, this
15 is kind of a key point I want to make here, is we
16 put them in an Air Quality Simulation Model that
17 takes into account the atmospheric chemistry
18 interactions and climate, and so on. And that's
19 actually a very important step because a lot of
20 the discussions around air quality stop at the
21 emissions level and, you know, it kind of doesn't
22 necessarily give you the resolution needed to
23 determine whether you get air quality benefits in
24 the areas that you need it the most and whether
25 it's actually making a big difference in terms of

1 the actual concentration of air pollutants.

2 Because that's what we're chasing, right? I
3 mean, the amount of NO_x is somewhat correlated
4 with that, but this is kind of what we're
5 chasing.

6 So we used the CMAC Model in combination
7 with our Grid Balancing Model and Transportation
8 Model, and we look at ozone concentrations and
9 particulate matter, 2.5 concentrations in this
10 case, although we can do 10 also.

11 So let's also focus on two main basins
12 that have degraded air quality, right? South
13 Coast Air Basin where I live, yes, the air
14 quality is very bad, also the Bay Area up in the
15 North, which you guys are a bit more familiar
16 with, they don't tend to meet the ambient air
17 quality standards either. So we're going to look
18 at two kind of pollutants, we look at ozone and
19 in this case it would be one hour, although we
20 could also do eight hour, and the standard for
21 California set at ARB is 90 PPB, Parts Per
22 Billion. In SoCAB nowhere anywhere in SoCAB
23 meets that, although some places in the Bay Area
24 may meet that, but many places do not.

25 For particulate matter, the standards set by

1 ARB is 50 micrograms per cubic meter, some places
2 meet that in SoCAB, although most places don't,
3 and I couldn't find a spatial solution for San
4 Francisco Bay Area, but it seems on average they
5 do not, right?

6 So I'm going to show you a couple plots
7 of air pollutant concentrations. What I want you
8 guys to understand about these plots is they show
9 a spatial map of the change in air pollutant
10 concentrations in California from a business as
11 usual case for these two pollutants, right?
12 These were simulated over 60's which tend to have
13 the worst air quality typically from year to
14 year, July 7 through 13, and basically positive
15 means bad; negative means good. Right? A little
16 bit flipped there.

17 So remember those numbers that I said, 90
18 PPB is what you want to get to, SoCAB is 95 to
19 160 something, just as an example, similar thing
20 for San Francisco Air Basin. So let's take the
21 most aggressive case that we have in greenhouse
22 gas emissions, this is like way more renewables
23 than we need, right? And we're able to use all
24 of it and we're using very efficient battery
25 electric vehicles, we're using a lot of

1 renewables to meet the stationary load, and what
2 do we have here? So let's look at ozone. The
3 maximum reduction that we get in ozone actually
4 occurs up in San Francisco, and then we get a
5 little bit better in SoCAB, but the maximum
6 reduction is around 4.75 PPB. So remember what I
7 said, say in SoCAB we're at 95 to 100 and
8 something, right? And we want to get down to 90.
9 This is an extremely aggressive greenhouse gas
10 reduction strategy, right? We have lots of
11 renewables, we've electrified most of the vehicle
12 fleet, we have storage, we have Smart Charging,
13 everything is Bueno, and we like don't even get
14 to meet the standard, right? San Francisco Air
15 Basin may in some areas, SoCAB no way. The
16 maximum reduction is 4.75, right? For PM215,
17 it's a similar thing, right? We threw all this
18 stuff at greenhouse gas emissions reductions, and
19 we do get a benefit, but it's still kind of
20 small, 4.19.

21 So if we do Fuel Cell Vehicles, it's a
22 similar thing, similar for PM, but just a little
23 bit, not as good for ozone, but it's the same
24 principle, right? We throw all these strategies
25 at greenhouse gas reduction, but it doesn't

1 necessarily give you proportionally equal
2 benefits in air quality. And that's kind of a
3 main takeaway from here, is you kind of can't use
4 greenhouse gas emissions kind of as the sole
5 metric of like sustainability, which is kind of
6 how it's been talked about, right? You really
7 have to do this kind of multi-faceted sort of
8 assessment.

9 So here we go. Some of the strategy has
10 reduced greenhouse gases by 41.8 percent or more,
11 some of them went below that "2050" goal, and the
12 reductions in ozone, you know, three to five
13 percent reductions of PM2.5 maximum reduction,
14 there is a spatial resolution element to that.
15 You know, six to 10 percent. And this happens
16 because light duty transportation is already
17 relatively clean as far as criteria pollutant
18 emissions go, right? It's a relatively minor
19 contributor to emissions such as NO_x because
20 we've done a very good job in California of
21 making those emissions regulations strict, right?

22 And also for power plants, power plants
23 that are in degraded air basins are subject to
24 very strict emissions regulations. If you wanted
25 to install a power plant in SoCAB, South Coast

1 Air Quality Management District will subject you
2 to all kinds of Regulations and all kinds of like
3 stringent constraints that you have to meet. So
4 if they're able to be installed, they're pretty
5 clean; if they're not installed in areas that
6 have air quality problems, then it doesn't
7 contribute to as much of the air quality issue,
8 right, because they're in remote areas which
9 doesn't have high concentrations to begin with.
10 So that's the main takeaway I was talking about,
11 is deep greenhouse gas reduction strategies do
12 not necessarily provide proportionately deep air
13 quality benefits. So if you want to tackle air
14 quality, you have to bridge renewable energy, or
15 clean energy with sectors that have high air
16 pollutant emissions, as well as greenhouse gas
17 emissions.

18 So this kind of sums up a little bit of
19 what I'm talking about. This is from the South
20 Coast Air Quality Management District, right.
21 Electricity and Light-Duty transportation
22 accounted for very large amounts of greenhouse
23 gas emissions. This is the breakdown of NO_x
24 emissions in South Coast Air Quality Management
25 District in SoCAB, right? Large stationary,

1 which includes power plants is right about here,
2 light-duty cars, and there's a lot of cars in
3 SoCAB, we love to drive down there, there is a
4 lot of cars -- right here, right? So the large
5 contributors to carbon are not the largest
6 contributors to air pollutant emissions.

7 So what are the largest contributors to
8 air pollutant emissions? And, you know, you did
9 see an emission profile there, so you can kind of
10 guess, but we'll do a little bit of an exercise,
11 this is based off of an EPA project that our lab
12 had where what happens to the one-hour ozone if
13 we just remove all the emissions from different
14 sectors? Right? How do we get from having 95 to
15 163 PVB, you know, to below 90 or even better?
16 So different subsectors in transportation. And
17 here you can kind of see why. If we removed all
18 the light-duty emissions, you get the benefit of
19 4 PVB; if we remove all the electric power
20 emissions in California, you get 2.5. So this is
21 not really where you want to be focusing if you
22 want to look at air quality. However, if we look
23 at the heavy-duty sector, heavy-duty transport,
24 right, on-road diesel trucks and so on, 12.9;
25 off-road, which is like mining equipment and

1 tractors and construction equipment, things of
2 that nature, which don't really have much
3 emissions regulations on them, 11.8. And Marine
4 and Rails, especially because we have a lot of
5 ports down in Southern California, you guys have
6 a few up here also, 20.6 maximum reduction. And
7 this is kind of just an example of that spatial
8 distribution. So note this colored scale was
9 capped at minus 4, but it really does go to minus
10 11.8, and you can kind of see you get really good
11 reductions basically everywhere and deep
12 reductions where you need it, in the San
13 Francisco Basin, in SoCAB.

14 So basically you really have to bridge
15 these heavy-duty sectors with renewable primary
16 energy resources to obtain an air quality
17 benefit, right? That's kind of its own issue
18 that does have some synergies with greenhouse
19 gases, but it's not encompassed by greenhouse
20 gases.

21 So kind of just to sum it up, right,
22 large contributors to greenhouse gas emissions
23 are not the largest contributors to air quality
24 pollutant concentrations; greenhouse gas
25 reduction strategies don't provide a

1 proportionately strong reduction in air pollutant
2 concentrations; and you really have to start
3 connecting not just the electricity and light
4 duty transportation sector, which I believe we're
5 doing because it's a bit of low hanging fruit.
6 But you really have to start branching that
7 renewable electricity out into basically
8 everything that you could branch it out to,
9 especially in the Heavy Duty sectors.

10 And kind of as a final point here, is air
11 quality assessments kind of have to be included
12 as a separate metric when you're talking about
13 sustainability, right? You can't just say like,
14 oh, we reduced greenhouse gas emissions, like
15 everything is cool. And by extension, there are
16 other things associated with sustainability that
17 have to be considered also, right, waste and
18 water quality and water resources and so on. So
19 that's kind of all I have, these are references
20 for some of the stuff I have in here. And does
21 anyone have any questions?

22 CHAIRMAN WEISENMILLER: Yeah, just
23 following up on a couple things. Yeah, I was
24 going to say certainly Barry Wallerstein always
25 has this chart that shows his targets of dealing

1 with stuff, and power plants are not that much of
2 an issue, it's always Heavy-Duty Vehicles.

3 MR. TARROJA: Yeah, because we don't use
4 much coal here.

5 CHAIRMAN WEISENMILLER: Yeah, no, I mean,
6 you always hear a lot about power plants and
7 pollution, but it's really the cars and trucks on
8 the LA freeways. But one issue for LA is that 20
9 percent of your economy is goods movement.

10 MR. TARROJA: Yes.

11 CHAIRMAN WEISENMILLER: So you have a
12 huge economic dependence, you know, you have
13 various air quality plans that have to go in
14 place to meet, as you said, huge reductions.

15 MR. TARROJA: Yeah.

16 CHAIRMAN WEISENMILLER: And so, again, I
17 think the challenge for all of us is how do you
18 decarbonize the heavy-duty vehicles, you know,
19 and certainly if you can do passenger cars,
20 that's great, but as you said, there are
21 certainly co-benefits, but somehow that's one of
22 our major areas is Heavy-Duty Vehicles, otherwise
23 you're back to what happens with the economy down
24 there, you know, if you shut down the ports and
25 goods movement.

1 MR. TARROJA: And I think it's
2 interesting, too, because kind of decarbonizing
3 light-duty transportation, it's a bit more
4 uniform, right? Everyone has kind of the same
5 drive train. You take that drive train out, you
6 replace it with another single drive train, but
7 then when you start talking about drive trains
8 for ships and tractors and diesel trucks, they're
9 all like different and they all have different
10 duty cycles, and different feasible technologies,
11 it starts to get a bit more complicated.

12 CHAIRMAN WEISENMILLER: It does, and
13 certainly when you talk to the train folks, I
14 mean, they're not going to have electric trains
15 in California that stop at the border and then
16 flip over to other systems. It's got to be
17 something that's more of a national solution.

18 MR. TARROJA: Yes.

19 CHAIRMAN WEISENMILLER: I guess the other
20 thing, looking at -- you know, it was really
21 interesting to see the air quality piece here,
22 but one of the things that comes out strongly
23 from the research Guido has been doing is that
24 temperatures are going up, you know, and
25 certainly substantially in various areas, and

1 also you have the heat effect, I'm not quite sure
2 we quite factored that in, but for example I
3 guess most recent Scripps is saying Sacramento
4 we're talking about the minimum temperatures
5 going up four degrees (*Sic*), maximum going up two
6 degrees. So anyway you're going to have a much
7 hotter atmosphere there in some areas of Los
8 Angeles. So my presumption is that's going to
9 accelerate dramatically the kinetics of some of
10 these reactions.

11 MR. TARROJA: So for certain pollutants,
12 higher temperatures will mean that ozone would be
13 worse. For particulate matter, it's a bit more
14 complicated than that. But definitely for ozone,
15 the impacts of increased temperatures is going to
16 make it worse, so this would actually be -- it
17 actually makes it more urgent, right?

18 CHAIRMAN WEISENMILLER: No, it does. And
19 the other aspect obviously, I think it's like 30
20 percent of the particulates come from China, so
21 certainly Jim's work there and my work there is
22 important, and for LA's air quality.

23 MR. TARROJA: Yeah.

24 COMMISSIONER MCALLISTER: That's
25 interesting. Let's see, so the air quality

1 aspect of this is, you know, key and interesting.
2 I guess I'm wondering where your -- you came in
3 with a presentation with an assumption that, oh,
4 everybody sort of talks about greenhouse gas and
5 sort of assumes that there are these co-benefits
6 with air quality and, you know, your sort of
7 effort here was to dispel some of that and make
8 it more clear what's really going on there, which
9 I very much appreciate. I guess are there policy
10 recommendations that really don't come from the
11 carbon world, that can just attack these without
12 a whole lot of linkage between those? I mean,
13 you know, the cars, we have the catalytic
14 converter, which is kind of an instrumental
15 technology for getting NO_x down and solving some
16 of the Ozone problem and cleaning up the air down
17 there. And so I guess I'm wondering is it
18 necessary to only consider policy instruments
19 that sort of have both of these benefits, or are
20 there options that you're looking at advising ARB
21 on, and stuff, for the Heavy Duty fleet that are
22 more targeted to the air quality and not so much
23 on the energy front?

24 MR. TARROJA: Right. So it's not
25 necessarily that you only consider policies that

1 have co-benefits, right? I mean, some of these
2 things are much more separated than others, but
3 at a minimum, though, you do have to be aware of
4 what the interactions between these policies are,
5 right? Because you know, you could inadvertently
6 set policies that can kind of just shift the
7 burden of reducing air pollutant emissions or
8 greenhouse gas emissions to a different sector
9 and, you know, kind of get these interferences
10 that kind of hurts all the policies going
11 forward, right? So it's not necessarily to say
12 that every policy needs to be fully integrated
13 and so on, but you have to be aware of what you
14 are and what you are not getting out of each of
15 your policies, right?

16 COMMISSIONER MCALLISTER: I guess on the
17 goods movements, and particularly the ocean
18 freight, I mean, there are huge air quality
19 issues there, and one of them is obviously an
20 increase in electrification, so that's a place
21 where you'd really have to work those together.

22 CHAIRMAN WEISENMILLER: -- ships.

23 COMMISSIONER MCALLISTER: Well, he's at
24 Irvine, I mean, that's not ARB's bailiwick I
25 don't think. But, yeah, so I guess anyway I

1 appreciate that sort of help and this elucidates
2 some of these cross issues.

3 MR. TARROJA: Thanks.

4 MR. MURTISHAW: Actually, I have just a
5 couple of quick questions. This is Scott
6 Murtishaw from the PUC. I would be interested in
7 just knowing a little bit more about the
8 disaggregation of off-road equipment and your
9 slide 15.

10 MR. TARROJA: Right.

11 MR. MURTISHAW: So what would be the
12 largest contributors? What would be some
13 examples of the types of equipment within that
14 category?

15 MR. TARROJA: So I don't know exactly
16 what the largest contributor is, I'd have to go
17 back into the data to look at that, but some
18 examples would be like construction equipment,
19 right, or tractors, or things of that nature,
20 like large heavy duty -- that's kind of the main
21 thing that I think about as far as off road goes.
22 You know, cranes and tractors, mining, I don't
23 know if we do too much mining in California, but,
24 yeah, things of that nature.

25 MR. MURTISHAW: Okay and do you know

1 anything about what technologies are either in
2 development or on the shelf already that would
3 allow us to substantially reduce NO_x emissions
4 from those kinds of activities? I mean, what are
5 the options on the table? And in what way could
6 electrification -- I have a hard time imagining
7 electrification -- many of those uses are
8 possibly cranes since they tend to be stationary,
9 but do you have just off the top of your head
10 some sense of --

11 MR. TARROJA: So I actually do not know
12 of what's out there right now because it's a
13 little bit convoluted and hasn't received as much
14 attention as light-duty, but conceptually I would
15 say cleaner fuels, maybe use of like hydrogen for
16 heavy-duty-type deals because of the need for the
17 energy density and just kind of their duty cycle.
18 Electricity may or may not work for many of these
19 applications, especially if they're very energy
20 intensive and, as you said, not stationary. So
21 that's kind of -- I don't have a sense for what
22 the technologies that are on the shelf right now
23 that are being looked at.

24 MR. MURTISHAW: Okay and similarly I'm
25 just interested in whether you have breakdown for

1 the ocean-going vessels category, how much of
2 that would be while the ships are in transit
3 versus idling at Port?

4 MR. TARROJA: So a lot of it is while
5 they're at port, although they're working on that
6 with port electrification, right. A lot of it
7 also comes -- so you're talking about just the
8 ships, or are you talking about the ports as a
9 whole? Because there's a lot that goes from like
10 drayage trucks and those vehicles which are
11 idling, which is actually one of the larger
12 contributors.

13 MR. MURTISHAW: Okay, well in the chart
14 the category is labeled as ocean-going vessels,
15 not necessarily ports, per se.

16 MR. TARROJA: Oh, in the AQMD chart?
17 This one?

18 MR. MURTISHAW: Right.

19 MR. TARROJA: Yeah, 15. So as far as
20 what proportion of that is in transit or is not,
21 I don't know that off the top of my head. I can
22 get back to you on that, though.

23 MR. MURTISHAW: Okay, I would just be
24 curious to know how much cold ironing (ph) for
25 the ships at Port would contribute to reducing

1 those sources of emissions.

2 MR. TARROJA: Right. So that measure in
3 particular was something that we looked at in one
4 of our EPA projects. I could ask for permission
5 to send that along to you if you wish.

6 MR. MURTISHAW: All right, thanks.

7 CHAIRMAN WEISENMILLER: And if it's
8 public, if you can put it in the record, that's
9 great; if it's not public, just give it Scott.

10 MR. TARROJA: Okay, for sure. Thanks.

11 COMMISSIONER MCALLISTER: Thanks very
12 much.

13 MR. TARROJA: Thank you.

14 COMMISSIONER MCALLISTER: All right, the
15 final pre-lunch -- pre-break, sorry, not pre-
16 lunch, sorry.

17 MS. RAITT: So next is Jimmy Nelson from
18 the Union of Concerned Scientists.

19 MR. NELSON: Hello. So it's an honor
20 today to speak at this event about some work that
21 I've been doing over the past year and a half
22 with the Union of Concerned Scientists looking at
23 California and a 50 percent Renewable Portfolio
24 Standard, and kind of the flexibility challenges
25 and solutions to those challenges that we might

1 explore.

2 So when I kind of thought about what I
3 was going to do at the Union of Concerned
4 Scientists when I started about two years ago,
5 there were a couple important studies that came
6 out that really led me to ask a question. And
7 what I noticed in those studies, including E3's
8 relatively famous 50 percent Renewable Portfolio
9 Standard work is that there were a lot of hours
10 during the day, especially during spring days,
11 when you were seeing a lot of gas generation at
12 the same time that you were seeing renewable
13 curtailments.

14 So you were on one hand throwing out
15 really valuable renewable energy and, on the
16 other hand, spending a lot of money to generate
17 electricity from natural gas. And so there has
18 to be reasons for this and in the modeling tools
19 there are definitely reasons, but in my kind of
20 estimation it seemed like this is a situation to
21 be avoided, kind of at all cost.

22 So to this end, my supervisor and I,
23 Laura Wisland, who couldn't make it today, we
24 created our own version of the duck curve to try
25 and kind of explain what we saw as one of the

1 biggest challenges. And so our version of the
2 duck curve addresses the over-generation
3 challenge in the middle of the day that you might
4 have too much electricity around, and you might
5 have to curtail renewables.

6 Well, why would this be the case? It
7 could be the case because natural gas generators,
8 when they're providing energy, sometimes they
9 also provide a number of important Grid
10 reliability services. And so you might get into
11 a situation where you need the reliability from a
12 natural gas generator, or perhaps a hydroelectric
13 generator, as well, but you don't necessarily
14 need the energy because you have renewables kind
15 of going gangbusters in any given hour,
16 especially in the middle of the day.

17 So the orange part with lines kind of
18 shows you the renewable energy that you might
19 have to curtail or get rid of to maintain grid
20 reliability. And Jim Williams set me up pretty
21 well, I'll use some of his data from the 2012
22 science study. You know, I kind of wanted to
23 bring it back to this discussion about long term
24 climate goals because if we're going to have to
25 have natural gas, dispatchable natural gas power

1 plants on line in every hour of every day to
2 provide reliability, I don't think there's any
3 way that we can really get from the kind of
4 baseline scenario to the mitigation scenario, I
5 don't think there's any way we can go really deep
6 on reducing carbon emissions. And this is
7 especially important given that the power sector,
8 as the title of the paper says, is very pivotal,
9 it has a pivotal role in reducing emissions. And
10 so if we can't shut off the gas plants in the
11 middle of the day, in the long term, in the 2030,
12 2040, 2050 timeframe, it's going to be really
13 hard to meet our goals.

14 So just a tiny bit on the modeling work
15 that we've been doing. So I have to acknowledge
16 a few folks first, E3 gave us some great datasets
17 and kind of the renewable profiles and portfolio
18 that we got, or that we used are from E3. And
19 obviously I have to thank my organization, Union
20 of Concerned Scientists, for supporting me. And
21 we talked to various folks at NREL and Plexos.
22 And we sent the report out for review to a number
23 of folks who provided fantastic comments, some of
24 whom are in the room.

25 And so what did we do? We looked at

1 three different RPS targets in California, a 33
2 percent, a 40 percent, and we really focused on
3 the 50 percent RPS target because that's the one
4 that's kind of currently in the discussion.

5 The geographic scope of our analysis is
6 the CAISO footprint, so 80 percent of electricity
7 demand in California. And we chose the timeframe
8 2024, we thought this was kind of an interesting
9 timeframe to choose. So if you think about the
10 Governor's overarching economy-wide greenhouse
11 gas goals of getting to 40 percent emission
12 reductions by 2030, we might need to go really
13 relatively quickly on renewables to get to those
14 goals. And we might need to go more quickly than
15 would be envisioned in a 50 percent RPS by 2030,
16 so we chose to model 2024 to see if we could do
17 it quicker. And the punchline is that we could
18 in terms of Grid flexibility. But we still think
19 our results are relevant to a 2030 fifty percent
20 RPS policy discussion.

21 So we used kind of the industry standard
22 Plexos Electricity Production Cost Model; you
23 know, it's been used by NREL and E3 and the CAISO
24 and Southern California Edison and others to look
25 at the challenges of integrating more renewables

1 into the Grid. We did not perform an investment
2 model, this is kind of different than the work
3 that I performed in graduate school for the CEC,
4 so it's a bit of a departure in that respect. So
5 we really wanted to just kind of drill down on
6 electricity operations. So we used the Plexos
7 model. But we did not, you know, optimize the
8 renewable mix or solutions to try and address
9 integration challenges.

10 So the Renewable Portfolio that E3
11 generously gave us and the hourly profiles for
12 this portfolio are for a relatively diverse mix
13 of renewables. So as you go out to 50 percent,
14 you still see a lot of solar energy, but our
15 portfolio ends up ramping up wind and baseload
16 renewables to some extent.

17 And, you know, I think this is because in
18 large part the benefit of portfolio diversity, we
19 know that makes renewable integration challenges
20 a little bit easier, but I think that's a
21 discussion that needs to be had further.

22 So we weighed our portfolio heavily
23 towards instate resources, in large part because
24 that's what the current RPS policy does, and I
25 think there's a desire at least on the part of

1 many in the state to keep some of the renewables
2 in the state. And we don't count behind-the-
3 meter PV towards the RPS for the same reason
4 we're just kind of maintaining the current policy
5 structure the way the RPS works currently.

6 And I should also mention that we don't
7 simulate a lot of expanded regional coordination,
8 so this is kind of CAISO balancing its own
9 renewables and I can talk to what I would think
10 might change a little bit if we did something
11 differently, but I think a lot of the results are
12 going to qualitatively remain the same.

13 So the first set of results are kind of
14 no surprise to most people in this room, so I'll
15 go through them quickly. As we increase the
16 amount of RPS, but don't really make a lot of
17 effort to integrate those renewables into the
18 Grid in an intelligent manner, just kind of shove
19 them onto the Grid, and curtail them when we
20 can't maintain the reliability, we do see
21 greenhouse gas emission reductions, so a
22 relatively large magnitude. And then most of
23 your cost to produce electricity is just you're
24 spending money on natural gas fuel, so you see
25 reductions there, as well, although of course we

1 didn't do an optimization or even a
2 quantification of capital costs. So this isn't
3 the full picture on costs, I'm not meaning to say
4 that it is.

5 And then similar to other studies, we see
6 that renewable curtailment actually starts to
7 really go up when you get towards the 50 percent
8 Renewable Portfolio Standard and we see about
9 five percent of renewables would be curtailed at
10 a 50 percent RPS.

11 So I think a lot of folks tend to jump at
12 this and think, wow, this is a massive problem,
13 we're curtailing five percent of renewables, but
14 I'd just like to point out that there's the other
15 95 percent, so we put 50 percent renewables on
16 the Grid and we got 95 percent of them accepted
17 without really trying to do a lot of complicated
18 integration. So I think we're already at a good
19 starting point and the point of the modeling,
20 though, is to investigate how we could go further
21 and reduce this curtailment and also reduce GHG
22 emissions.

23 So one of the most interesting things
24 that I found when doing this study, and I kind of
25 alluded to it earlier, is that reliability

1 requirements can cause a lot of renewable
2 curtailment. These are things that we shouldn't
3 kind of forget about when we're thinking about
4 integrating renewables.

5 So I'm going to show you the next slide
6 in which, in this study with our specific
7 assumptions, we found that reliability
8 requirements can cause up to 80 percent of the
9 renewable curtailment that you observe. So this
10 is different than I think a lot of people's
11 intuition of why curtailment might happen, which
12 is that we just have too much solar energy, let's
13 say, in the middle of a spring day, and not
14 enough load to sop it up, right? That's one idea
15 of why you might --

16 CHAIRMAN WEISENMILLER: Yeah, but your
17 portfolios are very balanced. There's not much
18 solar in the portfolio. So that's not a great
19 example.

20 MR. NELSON: So I do think that that
21 effect would be a bit mitigated by having a less
22 diverse portfolio, but I still think that the
23 qualitative result that reliability requirements
24 can cause curtailment is going to stand. So, you
25 know, you don't have to believe my exact numbers,

1 but kind of take away the qualitative message,
2 perhaps.

3 So we removed two sets of reliability
4 requirements from the model, not to suggest that
5 they're not important, but to highlight kind of
6 areas for further analysis. And the big result
7 that we found was downward balancing on the sub-
8 hourly timescale can really make a big
9 difference. And so if you're familiar with
10 electricity operations, the two reliability
11 requirements that were kind of the most important
12 were load following and regulation specifically
13 in the downward direction. So this is to deal
14 with imbalances of supply and demand of
15 electricity on when you might have too much
16 supply, or too little demand, so turning down
17 resources. And the reason that these cause
18 curtailment is because kind of the default way
19 that we've run the Grid in the past is that you
20 might hold natural gas power plants above its
21 minimum generation level in preparation to be
22 able to turn it down on the sub-hourly level.
23 And what you're doing when you do that at really
24 high renewable penetrations is you're causing
25 hourly blocks of renewable curtailment because

1 you're trying to prepare for sub-hourly
2 fluctuations of renewables and load. And then we
3 found also that another set of reliability
4 requirements, which Trieu also kind of briefly I
5 guess showed on his slides, can cause additional
6 renewable curtailment, the Regional generation
7 requirements. I'm not going to go into those
8 more.

9 So we looked into the question of what
10 works and what doesn't to increase operational
11 flexibility at a 50 percent RPS, you know, given
12 that we have a relatively diverse mix of
13 renewables and we're focusing kind of on instate
14 balancing to some extent. So we looked at three
15 different options, operate the renewables more
16 flexibly, increase the flexibility of the natural
17 gas power plants, and then kind of a basket of
18 three other options, add non-generation
19 flexibility, so storage, Demand Response,
20 exports.

21 And we found that operating renewables
22 kind of very flexibly can have large benefits.
23 The reason is that you can avoid a lot of
24 curtailment by actually curtailing renewables
25 very nimbly on the sub-hourly scale, and you can

1 avoid kind of blocky larger chunks. So this
2 represents renewables starting to contribute more
3 and more to reliability and balancing of the
4 system and that can actually help you avoid
5 curtailment, even though having renewables
6 provide reserves, you have to curtail some. With
7 that amount that you curtail, as shown by the
8 rate plot, is less than the amount that you
9 curtail if the renewables weren't contributing as
10 intelligently the system balancing.

11 So what about kind of more of the usual
12 suspects, I call them? Things that people
13 generally say are going to help out the problem
14 of renewable integration? We certainly find that
15 these non-generation sources of flexibility can
16 really help, so increasing the amount of
17 electricity storage, Demand Response, and
18 exports, and I should note here it's advanced
19 Demand Response, so either increasing or
20 decreasing electricity demand. So the X axis
21 here is one gigawatt, or like three gigawatts on
22 the X axis is one gigawatt of storage, one
23 gigawatt of Demand Response, one gigawatt of
24 exports, we just deploy them in equal ratio as a
25 tool to show how they could work together, and

1 you definitely see you can get curtailment down
2 to very low levels, and you can also reduce
3 greenhouse gas emissions. So these solutions, of
4 course, work if you can get them and get them at
5 a relatively reasonable cost. But we didn't
6 perform a cost tradeoff.

7 So one of the more interesting things, I
8 think, from this part of the analysis is that
9 providing downward flexibility from these sources
10 is pretty important. So you can start to turn
11 off natural gas power plants if you can have a
12 storage device kind of ready to provide that
13 downward flexibility, and you don't have to have
14 that storage device producing electricity to
15 provide that grid reliability service, whereas
16 with a natural gas plant you do need to have it
17 on line and generating.

18 And then the last thing that we looked
19 into was, what are the operational
20 characteristics of natural gas that would be
21 helpful and maybe not so helpful? There's a big
22 discussion about what we need to do with our gas
23 fleet, do we need to modernize the gas fleet to
24 really successfully integrate more renewables?
25 And so we performed a few sensitivity runs where

1 we modified either one or many different aspects
2 of the natural gas fleet, so we took just as kind
3 of a bookend the entire CAISO gas fleet and made
4 these changes to every single gas unit. So if
5 you double the ramp rate, if you look at the left
6 two bars, if you double the ramp rate of all of
7 the gas generators in the CAISO, you don't really
8 reduce curtailment by a large margin at all. And
9 in kind of modeling terms, that's because the
10 ramp rate isn't the binding constraint, it's not
11 the thing that's causing the curtailment. On the
12 other hand, if you reduce the minimum generation
13 level, or the minimum power level of the combined
14 cycles, you do see some benefit because you are
15 starting to address at least in this study what
16 the binding reliability constraint is, which is
17 providing downward reserves.

18 And if you then combine the two things on
19 the left, the minimum power level and the ramp
20 rate modification, and you add some more
21 flexibility to the gas fleet, you see not much
22 additional benefit, and I should say that
23 greenhouse gas emissions generally track the
24 curtailment numbers here, so if you see reduced
25 curtailment, you see reduced greenhouse gas

1 emissions, so kind of in both.

2 So really, we find that the central thing
3 for gas plants that might be helpful is reducing
4 the minimum power level of combined cycles. That
5 being said, we didn't look at installing clutches
6 on gas power plants, so that could be an
7 interesting thing that we could discuss later.

8 But in the context of the duck curve, I
9 think this has some important implications. So
10 the duck curve highlights two challenges to
11 renewable integration, both the evening ramp as
12 the sun is going down, and the belly of the duck,
13 the over-generation problem. And at least this
14 study highlights the belly of the duck as much
15 more important for causing renewable curtailment
16 than the neck. So it mostly solves the neck by
17 turning on combined cycle power plants as the sun
18 goes down, but the belly of the duck really kind
19 of addresses the question of how do we operate a
20 reliable grid that doesn't need a heck of a lot
21 of conventional generation on line and generating
22 when we also have renewable production.

23 So I think in the interest of time, I'm
24 going to just kind of skip to kind of one thing
25 that I thought was important kind of like as the

1 model, or performing this modeling, what I kind
2 of took out of it, which is that I think at a 33
3 percent RPS, I think we've thought of renewables,
4 or even before we got to a 33 percent RPS, we've
5 thought of renewables as these kind of
6 inflexible, intermittent, variable, uncertain
7 generators. And while that is all true, I think
8 there's a lot of potential to understand them at
9 a 50 percent RPS as actually active contributors
10 to the balancing of supply and demand. And so, I
11 mean, to really start being able to turn off
12 natural gas power plants in the middle of the
13 day, I think you have to start operating
14 renewables somewhat more like a natural gas power
15 plant. I'm not advocating for curtailing a lot
16 of renewable generation to do this, but I think
17 the message is that a little dispatchability goes
18 a long way. So with that, I'll just kind of
19 leave you with the key findings and take
20 questions.

21 CHAIRMAN WEISENMILLER: Yeah, I had a
22 couple. First, Keith and I were at an event in
23 Germany, U.S. State Department and German
24 Ministry on Energy and we were trying to figure
25 out their Grid and their Grid issues, and the

1 really common factor across all was the shift
2 from hourly dispatch to 15 minute and five minute
3 made a huge difference in reserves. It sounds
4 like you've modeled, or you're presuming when you
5 talk about having gas plants held at a certain
6 level for an hour, you're assuming an hour
7 dispatch, and it's really 15-minute or five, and
8 hopefully getting shorter. And that makes a huge
9 difference on the ease of getting renewables into
10 the system and also in terms of the amount of
11 reserves you have to have.

12 MR. NELSON: Yes.

13 CHAIRMAN WEISENMILLER: So, I mean,
14 that's part of the message, I think, which I keep
15 telling the POU's is they have to wake up and get
16 out of hourly dispatch down to 15-minute, five-
17 minute, one minute, whatever it's going to take
18 because that's going to really reduce the
19 reserves quite a bit.

20 MR. NELSON: Yeah, so if we can kind of
21 successfully bridge between our like day ahead
22 hourly schedule and a more fine grain, closer to
23 real time dispatch, you might be able to like,
24 when you resolve some of the uncertainty that you
25 had in the day ahead, you might be able to start

1 turning off gas plants.

2 CHAIRMAN WEISENMILLER: Well, I mean,
3 again that's a different issue. So one issue is
4 there's a huge difference on that part, certainly
5 the German experience was the people who did the
6 detailed modeling there for the Germans said
7 shortening the dispatch period had a huge effect
8 on reserves.

9 MR. NELSON: Uh-huh.

10 CHAIRMAN WEISENMILLER: And that's
11 certainly been our experience with the new CAISO
12 system here, so that's part of the messaging for
13 people is that shorter and shorter dispatch
14 periods are going to be huge -- and dependent.
15 Now, the other part, though, I mean, when I look
16 at your duck curve part, again, a lot of the
17 qualitative stuff holds, it's just the
18 quantitative stuff I don't believe. So on the
19 qualitative -- when I look at your duck curve,
20 you have a very flat renewable generation and you
21 have a very balanced portfolio. When I look at
22 ISO today, which I do every day, you see very
23 pronounced solar generation at mid-day, you see
24 the net as reduced substantially from that. So
25 it's a tougher situation which probably explains

1 why your curtailment forecasts are much less than
2 the ISO's forecast. It's very hard to forecast
3 curtailment in either case, I don't necessarily
4 believe either number, but the bottom line is
5 yours should be much smaller.

6 But I think my last question would be,
7 you talk about flexibility, but that's the flip
8 side of curtailment, right?

9 MR. NELSON: Uh-huh.

10 CHAIRMAN WEISENMILLER: I mean, it seemed
11 like the only real difference is whether we're
12 paying the renewables for curtailment or not
13 under flexibility, but many of their contracts
14 have 180 hours, 200 hours of curtailment built
15 in, so why double-pay?

16 MR. NELSON: So I guess I've thought of
17 it as maybe you don't even need to address this
18 question with the existing renewables, I think
19 you can address -- and I've submitted testimony
20 to the LTTP that says you can address a lot of
21 the flexibility challenges by just making sure
22 you're including kind of dispatchability and
23 proper payments in the new contracts. Let's see,
24 what was -- your other point was on baseload --

25 CHAIRMAN WEISENMILLER: Yeah, the shape.

1 I mean, again, I look at your duck curve and I
2 look at ISO today and it doesn't match very well.

3 MR. NELSON: Yeah, so I think it's an
4 uncertainty of the future how much kind of we're
5 going to address the flexibility challenges by
6 building a different renewable mix, or by
7 installing devices and operating the grid
8 differently. So, you know, how much does the
9 least cost, best fit actually get us to procure
10 more baseload resources --

11 CHAIRMAN WEISENMILLER: No, best fit
12 doesn't appear to be very optimal at this stage.

13 MR. NELSON: Yeah, and I mean --

14 CHAIRMAN WEISENMILLER: It should be, but
15 it's not.

16 MR. NELSON: So as I say, it's an ongoing
17 discussion, definitely.

18 MR. CASEY: Yeah, Jimmy, first off great
19 presentation and, you know, I certainly agree
20 with Bob in terms of the takeaways, you know, and
21 appreciate your acknowledgement about the
22 reliability requirements are real, that's not
23 something we can just say, well, if you get rid
24 of the reliability requirements, problem solved.
25 Well, that's great except the lights don't stay

1 on. So those have to be addressed and, you know,
2 minimizing reliance on the fossil fleet to
3 address them is spot on and we need to do that,
4 so I fully support that. But I think, to Bob's
5 point, you know, your analysis is optimistic in
6 terms of the diversity of the renewable fleet
7 and, as a consequence, suggests that if you could
8 just address these reliability requirements by
9 not relying on the fossil fuel, the over-gen
10 issue is de minimus. And I think the reality
11 would be we'll have much more solar than you've
12 assumed here and it's going to require an all of
13 the above solution where we're going to have to
14 get after this flexibility in the gas fleet, but
15 we've got to be looking at the regionalism to
16 find homes for those renewables that would
17 otherwise get curtailed, as well as storage. So
18 I guess that's my only major concern with this,
19 is it gives the impression that this is a silver
20 bullet, that if we get this solved, the
21 curtailment issue is really not an issue.

22 MR. NELSON: Yeah, no, understood. And I
23 think that was in large part the point of, you
24 know, this part of the analysis to also show
25 there are other pathways and certainly in

1 different renewable portfolios you're going to
2 want to pursue one pathway more than the other.
3 A lot of my focus on kind of the reliability
4 requirements is because I thought they were kind
5 of an under-discussed aspect of the integration
6 challenge, so that's why I focused on them
7 primarily here. But there's a lot of other work
8 to be done in all these other areas, and I didn't
9 mean to diminish that work at all.

10 COMMISSIONER MCALLISTER: So I just
11 wanted to follow-up a little bit. I wanted to
12 ask the ISO if this sort of dispatch discussion
13 matched your reality and I guess I don't quite
14 feel like I have a full answer to that yet, but
15 some level of comfort.

16 So, you know, it seems like basically
17 what you're saying is to sort of, if we can make
18 that marginal gas, that sort of layer of marginal
19 gas along the load shape, or the supply curve
20 basically thinned out and replace some of it with
21 renewables, that's basically what you're saying,
22 you know, minimum loads on the gas and sort of
23 make that, even though we still depend on gas at
24 the margin, that can be thinner and smaller. And
25 I guess, is there a technical issue there? You

1 sort of alluded to one and I want to sort of --
2 you know, what's part of your idea of what that
3 would take in terms of investment and
4 infrastructure versus sort of having it be purely
5 a management issue?

6 MR. NELSON: Yeah, so I mean I think
7 we're still understanding that to some degree. I
8 think there's definitely a need, and we've
9 discussed this with the ISO to some extent for
10 kind of more active power controls to be either
11 installed or enabled at renewable generators so
12 that you can have the ISO send dispatch
13 instructions, you can intelligently curtail them.
14 And at least in preliminary discussions with
15 renewable developers, that doesn't seem to be a
16 very expensive thing to do at all. I think a lot
17 of current wind plants, or at least new wind
18 plants that are being installed already have the
19 capability to be controlled. But I think it's
20 going to take a lot of understanding and kind of
21 modeling of a grid with reduced kind of thermal
22 spinning mass-based generation to really
23 understand the important limits. And I think
24 part of the point of this work is just to tee
25 that discussion up, not to necessarily answer all

1 the question, but, yeah, there is some
2 infrastructure that you need to maybe modify on
3 renewables to make them more active participants
4 in supply and demand.

5 MR. CASEY: I could elaborate on that a
6 bit. I think certainly the active power control,
7 I think most of the new projects have active
8 power control, and it's worth noting that today,
9 you know, we are in the spring months
10 experiencing the need to do renewable curtailment
11 and almost all of it is based on resources that
12 economically bid in the market, so we are getting
13 economic bids to be dispatched down and that's
14 very encouraging. But, you know, one of the big
15 drivers for having, at least today, gas
16 generation on line is the frequency response
17 obligation that you need really fast moving
18 machines that can respond almost instantaneously
19 if we have a major disturbance on the system;
20 renewables can do that, but they need more than
21 just active power control, they need the inverter
22 technology that will enable them to basically
23 have a Governor signal that can instantaneously
24 respond to a frequency disturbance. And, you
25 know, that technology is there, but the extent to

1 which renewables have it, we don't have a good
2 sense of what's there. Similarly with reactive
3 power control, if we need reactive power support,
4 renewables can do it. How many of them have that
5 regulation management capability? We've not been
6 able to get good insights into that. So these
7 are the kinds of things that need to get
8 addressed. And getting more flexibility out of
9 the existing gas infrastructure that's there,
10 there's a lot of plants, we have a representative
11 from Calpine here, that they can do a lot with
12 their combined cycle units to retrofit them to be
13 more flexible, but the question is, is where is
14 the revenue going to come to do that? What's the
15 business model to fund those kinds of changes?
16 So I guess as a general matter, you know, when we
17 put out the duck curve and the concerns over
18 generation, you know, it's not just to scare
19 people, it's to have discussions like we're
20 having right now is, well, how do we avoid that?
21 What has to happen, when, where and how? And
22 those are the kinds of things that it's better to
23 shine a bright light on it than to assume all
24 this stuff is going to happen and there's no
25 problem, and then there's no urgency to get it

1 done. So just as a general commentary, you know,
2 the duck curve and the over-generation are being
3 put out there to really get actions happening
4 today on what we're going to do to avoid those
5 kinds of outcomes.

6 MR. NELSON: Uh-huh, certainly. Yeah, I
7 guess one other thing on the frequency response,
8 I think a lot of times I also think of getting
9 frequency response from the storage devices in
10 the times when we're really curtailing
11 renewables. If we're going to curtail renewables
12 to maintain proper frequency response, we
13 probably have our storage devices charging. And
14 so you can get at least a lot of upward frequency
15 response from just not charging the storage as
16 much. So I think that's one other way that we
17 can go in the future for that.

18 MR. CASEY: And of course you're going to
19 need lots of storage.

20 MR. NELSON: Yeah, certainly.

21 CHAIRMAN WEISENMILLER: And you're going
22 to need lots of fast ramp storage and long live,
23 so there's a whole bunch of optimization
24 questions there that will keep people going for a
25 while. Thanks.

1 MR. NELSON: Thanks.

2 COMMISSIONER MCALLISTER: So we are
3 running a little bit behind time here, so,
4 Heather, why don't you read everybody the Riot
5 Act and about the break time?

6 MS. RAITT: I think we're going to take a
7 15-minute break, so we'll be back here at 1:00.

8 (Break at 12:44 p.m.)

9 (Reconvene at 1:02 p.m.)

10 MS. RAITT: Okay, so we'll get started
11 again and our next speaker is Duncan Callaway.

12 MR. CALLAWAY: Thank you very much to the
13 organizers, it's a pleasure to be here to talk a
14 little bit about some of the research that
15 happens in my group at U.C. Berkeley where I'm an
16 Assistant Professor.

17 Before I dive into the topic of today's
18 discussion, I just wanted to give a very quick
19 overview of some of the work that happens in my
20 research group at Berkeley. We're predominantly
21 approaching problems with engineering methods and
22 tools, looking at strategies for accommodating
23 higher penetrations of renewables from an
24 operations and control perspective into power
25 systems.

1 We do a fair bit of data driven and
2 machine learning-type work using solar PV data
3 and Smart Meter data to investigate various
4 problems in renewables integration.

5 We're also working on some projects that
6 look at the value of energy storage and large
7 scale energy systems, taking a view and
8 commitment-based strategy, and also have some
9 work on value of distributed PV and distribution
10 systems. These are things I won't actually be
11 talking about today, but I just wanted to sort of
12 give a flavor about the things that we do.

13 In the first bullet, one of the things
14 that we do some work on is Demand Response. And
15 so what I'll talk about today is really an effort
16 undertaken by my students and I to ask the
17 question, how important is it for us to be doing
18 work in this particular area? That is, trying to
19 harness Demand Response for renewables
20 integration.

21 So I'm going to basically look at two
22 elements of this question in the talk,
23 specifically thinking about system level issues
24 like ramping, load following, and frequency
25 regulation, and an end-use focus of residential

1 thermostatically-controlled loads. So I'll talk
2 about water heating, air-conditioning,
3 refrigeration, and space conditioning. The
4 purpose for thinking about thermostatically-
5 controlled loads, the motivation for us is that
6 this is a resource with a lot of thermal inertia,
7 so potentially something like a large virtual
8 battery is a way to think about these devices.
9 And residential because, maybe this is largely an
10 academic motivation, but I think it's actually
11 deeper than that; you have millions of virtually
12 identical devices that you can develop scalable
13 control strategies for. So given the right
14 models, you can just sort of pick those up and
15 move them around very quickly to manage
16 aggregations on large scale.

17 So the specific things that I want to try
18 to talk about today to give you some insight into
19 is the size of the residential thermostatically
20 controlled load resource for Demand Response for
21 providing those system level services that I
22 mentioned, starting to look at little bit into
23 whether we can actually avoid building other
24 forms of generation capacity with this kind of a
25 resource. And it's something that I think we

1 need to do more to look at, but I can talk a
2 little bit about it today.

3 And then lastly, and I think this is
4 really the punchline of the talk, is in what
5 conditions do the economics actually make sense,
6 sort of on a per customer level, could we make a
7 strategy like this work.

8 So there's been a little bit of work on
9 this from other groups, from Lawrence Berkeley
10 Lab, NREL, and a few others, have looked at
11 similar kinds of questions. We're taking a
12 slightly different approach by using bottom up
13 models that I'll talk to you about in just a
14 minute, which really focus on capturing the end
15 use performance of the loads, and I'll talk a bit
16 more about that.

17 We also did a little bit of sort of
18 checking of our work using a totally different
19 approach with Smart Meter data that we got from
20 Pacific Gas & Electric, and I'll talk a little
21 bit about that.

22 In both cases, we're grounding the
23 approach on understanding the end use impact as a
24 fundamental part of doing the simulation work, so
25 that we know are we still ensuring the same end

1 use service to customers that they would have if
2 they weren't actually participating in the DR.

3 Okay, so let's see, I had one other note
4 that, right, so what I'll talk about today, I
5 don't have a figure on this, although we've
6 looked at this a little bit, so for the most part
7 we're not going to speak specifically about
8 correlation with the demand for renewables
9 balancing, but I'll hint at that a little bit.

10 Okay, so this bottom up model, I just
11 want to very quickly walk through how it works,
12 the basic idea is that -- this is one of the
13 reasons I think residential thermostatically
14 controlled loads are interesting, and light
15 commercial for that matter -- most of them today,
16 until we get bigger roll-out of variable speed
17 compressors, most of them operate in just this
18 on/off fashion, so this figure here you can see
19 this would be, for example, for an air-
20 conditioner or a refrigerator where, when it's
21 off, it warms up in temperature which is measured
22 on the X axis, and then when it's on it cools
23 back down. And so we think of this just as a
24 hysteresis loop, or bang bang control is what the
25 control people would call it. And so when we do

1 our assessments of resource potential, a
2 fundamental assumption that we make in the work
3 is that all of the control action will keep the
4 loads within their original dead band of
5 temperature; that is, we're not going to
6 compromise the end use service at all, we're just
7 going to change the timing of when these things
8 operate.

9 So we use a variety of different data
10 sources to get at this sort of statewide
11 potential question, the Residential Appliance
12 Survey, CEC forecasts for a number of households
13 by climate zone, a number of different weather
14 forecasts, we got from Lawrence Berkeley Lab a
15 water heater demand profile. And then, as I'll
16 talk about very briefly, actually in this part
17 here we used EIA Residential Energy Consumption
18 Survey Data to basically tune our model to make
19 sure that we were getting as close as possible to
20 what we believed were the right answers. So the
21 way that that tuning happens is that there's some
22 parameters for these thermostatically controlled
23 loads, so we could just estimate based on just
24 sort of engineering judgment what's the typical
25 capacity of an air-conditioner, what's its

1 coefficient in performance. But the harder
2 things to estimate are the things that govern
3 really how fast you move through this temperature
4 space, what's the thermal inertia of a device?

5 And so we basically tune those measures,
6 those parameters, so that our results match up to
7 what the EIA RECS Data would predict at the State
8 level for annual energy consumption.

9 So here is one of the punchlines of the
10 talks, so this is looking at over 8,760 hours of
11 the year in 2014, how much power capacity comes
12 from just the residential thermostatically
13 controlled resource. And the various striking
14 thing, and what people sort of their eyes pop out
15 a lot when we show this, is that we say the peak
16 is 44 gigawatts of potential DR capacity. And
17 the way to think about that is this is non-
18 coincident load, essentially. So this is if we
19 stacked up, if we put all the air-conditioners
20 and all the refrigerators, all the water heaters
21 on at the same time, we'd have roughly 44
22 gigawatts of capacity. So how much of that is
23 actually on line and operating at any one point
24 in time, that you could curtail to do the sorts
25 of things that Jimmy was talking about earlier,

1 is on the order of 15-30 percent of these numbers
2 here. So for example, if you think about down
3 here we have refrigerators and electric water
4 heaters summing up to a total of about 10
5 gigawatts of capacity, it's going to --

6 CHAIRMAN WEISENMILLER: Yeah, you realize
7 California doesn't have electric water heaters,
8 they're very small, a very small fraction.

9 MR. CALLAWAY: No, no, no, I totally
10 understand --

11 CHAIRMAN WEISENMILLER: Okay, fine.

12 MR. CALLAWAY: -- but this is taken from
13 the RAS data, it's about 10 percent.

14 CHAIRMAN WEISENMILLER: Exactly.

15 MR. CALLAWAY: Right, yep. No, that's
16 all baked into the analysis, yeah. I'm going to
17 talk a little bit more about that in just a
18 second.

19 So maybe one of the more striking things,
20 though, is that there is a -- and this is
21 something that by using this model we can get at
22 how much energy storage capacity is in this
23 aggregation of devices, and you can think of this
24 basically as a virtual battery of devices. And
25 the peak is around 12 gigawatt hours according to

1 this way of thinking about things, but at its
2 minimum it's on the order of about eight, and
3 that's coming from the fact that water heaters
4 and refrigerators are constantly in operation
5 and, by the assumptions of the model, available
6 to be moved around in that temperature dead band.

7 So this of course is just a technical
8 potential, right? So we're just saying how much
9 is actually out there and what's possible. Okay,
10 so then also we looked at a scenario because
11 electrification is obviously something that
12 people are talking a lot about for greenhouse gas
13 mitigation, we looked at a scenario where we
14 electrify 10 percent, an additional 10 percent,
15 of furnaces, so we moved to an air-source heat
16 pump on the furnace side, and then an additional
17 10 percent of water heaters, so getting up to
18 about 20 percent statewide for electric water
19 heating. And in that case, as you would imagine,
20 the numbers go up in terms of the resource
21 capacity. And probably the most interesting
22 thing, as you would expect, but this is sort of
23 driven by temperature records and this
24 thermostatically controlled load model, you can
25 see that the heat pump addition to an air-

1 conditioner provides something that starts to
2 become a much more uniformly available resource,
3 but it's still not available across all hours.

4 I think a really important thing that we
5 didn't capture here that is worth thinking about
6 and maybe some others have in this heating
7 electrification space, of course if you
8 electrify, if you provide somebody with a heat
9 pump, you also provide them with the potential to
10 cool in the summertime. And there are some
11 implications I think to that in terms of overall
12 energy consumption, but that's not something that
13 we looked at here.

14 We did do -- I just want to very quickly
15 talk about some of our work with Smart Meter Data
16 where we just wanted to sort of benchmark the
17 numbers that we were getting on air-conditioning.
18 So we have a sample of 30,000 Smart Meter
19 interval meter accounts from PG&E, randomly
20 sampled from PG&E's service territory. And we
21 basically did a disaggregation exercise to work
22 out in what hours is air-conditioning operating
23 for these loads, and basically what's the
24 temperature response of all of those loads, like
25 how many watts per degree Fahrenheit of

1 increasing outside air temperature. So there's a
2 lot to talk about in that study, but the one
3 thing that I wanted to talk about here is that if
4 we think about what the -- and this would be a
5 curtailment potential. The peak resource just in
6 PG&E is on the order of 3.8 gigawatts, that's
7 peak and that would be on the hottest day of the
8 summer, which would if you extrapolate it out to
9 the state, it's -- and this is a big assumption -
10 the same penetration of air-conditioning across
11 all of the utilities -- that would work out to
12 about a 10 gigawatt resource. So from our
13 simulations we saw something on the order of 30
14 gigawatts, but this is actually pretty much what
15 we would have expected because that 30 gigawatt
16 number from air-conditioning was basically the
17 non-coincident load from all of the devices in
18 the state, and this 10 gigawatts is the
19 coincident peak.

20 One thing, actually I think one
21 interesting point to make, something that is nice
22 that we can do with this PG&E data is that we can
23 look to see, if we basically rank customers by
24 how big their DR potential is, we see that about
25 five percent of customers hold about 41 percent

1 of this air-conditioning Demand Response resource
2 potential. So I want you to keep that in mind
3 when I talk about the economics in just a second.
4 But it suggests at the very least maybe some
5 targeting is useful for the purpose of trying to
6 get DR, providing value at the system level.

7 Okay, so then finally I want to come back
8 to some of the results that we have from working
9 with this bottom up model, the simulation model
10 of thermostatically controlled loads. So we took
11 data from the ISO from their Ancillary Services
12 markets, in particular frequency regulation, both
13 non-spin and spin. And basically, just given the
14 time of availability that we get from the model,
15 timing of availability of these resources, we
16 just bumped that up against what the prices are
17 that we see, and then backed that out and say,
18 "Okay, what's on a per device basis? What's the
19 value of these resources?" And this kind of
20 really cuts to the bottom line, I think, in terms
21 of whether or not this is an interesting area or
22 a useful area for us to be pursuing as a means
23 for mitigating renewables variability. What we
24 see is that on a per device basis, using today's
25 prices for these ancillary services -- a really

1 important caveat -- the numbers are probably
2 inconsequential to a typical energy consumer. It
3 is interesting to note that if you have a
4 combined heat pump air-conditioner, at the
5 maximum, and I forget in exactly which climate
6 zone it was, the best value you could get is on
7 the order of \$56.00, this is per year. And then
8 if we add that to spin value, something
9 approaching \$60.00 per year.

10 So a couple of things, just to think
11 about the context of this. If you think back to
12 that figure that I had showing the cumulative
13 distribution of customers, there are some
14 customers that the value could be quite large
15 for, and that's something that we can't capture
16 with the bottom up model, but we can at least
17 hint at with the Smart Meter data that I was
18 talking about before.

19 So it could be that you could get a
20 significant amount of DR potential providing
21 ancillary services if we target the right
22 customers, and it could be economically
23 interesting for those customers.

24 What I'm staying silent on here is the
25 cost to actually do this. So this is just the

1 value to the system. And so what it would
2 actually cost to do is a whole other question,
3 and it's not something that we've looked at in a
4 lot of detail in our own work. I think just
5 because these are very difficult things to
6 estimate, we are actually trying to do some
7 pilots where we start to try to get a handle on
8 for one given way of doing it, what it would
9 cost.

10 But I think one important thing to keep
11 in mind is that there are a lot of complementary
12 value streams, whether it's the equivalent of
13 resource adequacy, or sort of targeted
14 distribution circuit level demand response, there
15 are other ways that it could make sense or there
16 are other things that we could stack on top of
17 this for it to make sense, but these numbers
18 alone I think suggest that maybe there are bigger
19 fish to fry for providing ancillary services.

20 One thing I will say, just sort of an
21 interesting little side note, is that one of my
22 colleagues has been running a pilot in Con Ed in
23 New York where they're actually running a
24 lottery, or raffle system, where instead of just
25 paying everybody the flat payment for DR, they

1 get basically credits to put into a lottery. And
2 then some people get a big payout. And he's
3 actually finding that the response for the people
4 that are participating in the lottery is
5 significantly larger than those that don't.

6 Okay, so getting back to just recapping
7 things. How big is this residential
8 thermostatically controlled resource? Very large
9 from a technical perspective. From an economic
10 perspective, though, I think the answer is very
11 unclear. Can we actually avoid building other
12 forms of capacity? I think yes if we use water
13 heaters and refrigerators, perhaps that's
14 something that you knew the answer before coming
15 into this talk, but even with water heaters and
16 refrigerators we see that there is a very large
17 resource in terms of megawatts or gigawatts
18 potential. And then just sort of recapping this
19 part about the economics, it looks like the value
20 is small on a per device basis, but there are
21 complementary value streams, maybe you could run
22 a raffle of some sort to try to get additional
23 participation, so I wouldn't completely rule out
24 the idea of doing this type of ancillary service
25 provision, but I do think from an economic

1 perspective it's going to be challenging.

2 And that's all I have to say.

3 CHAIRMAN WEISENMILLER: Thanks. A couple
4 questions and observations. The first one was,
5 when I got here we started asking about Demand
6 Response, and the things that amaze me was we
7 don't have much fast acting Demand Response. You
8 know, PG&E I think I asked someone if they had a
9 2,000 and how much could you get in 10 minutes?
10 Two megawatts. SDG&E when San Onofre went out
11 was 71 megawatts. How much of that could you
12 get, you know, in 10 minutes? Zero. How much
13 could you get in 16 hours? Some. Most was 24
14 hours. So in terms of trying to move -- Edison
15 is a little bit better, they have pool pumps --

16 MR. CALLAWAY: Yeah.

17 CHAIRMAN WEISENMILLER: But, again, the
18 question on, particularly if you're trying to use
19 this as ancillary services, it can't be 24 hours
20 from now you're going to do something.

21 MR. CALLAWAY: Of course, yeah. So --

22 CHAIRMAN WEISENMILLER: And so that gets
23 to the institutional stuff, the potential is
24 there, the institutional stuff, the last time I
25 think when all the parties came before the PUC

1 with a settlement proposal on Demand Response, is
2 people pointed out this is going to take longer
3 than World War II to get to any results. So
4 again, we're still, I've been here five years
5 trying to push this along. Certainly at this
6 point, you know, again, it's a long time. But in
7 terms of -- this is great potential, but it's
8 sort of frustrating not seeing it move. The
9 other thing, but probably more in terms of your
10 research, the one interesting question was if you
11 go back to the Resnick Report on the Grid, you
12 know, from a few years ago, one of the things
13 they point out is that the ISO systems deal
14 hundreds, maybe thousands of transactions; now,
15 when you look at a future where you could be
16 saying, "Okay, you've got millions of water
17 heaters, you've got millions of vehicles, you've
18 got millions of storage, you know, you have all
19 these millions, the softwares don't like the
20 scale. And you could also have some really funky
21 results that, if you have every water heater
22 suddenly flipping on or off at a given time, so
23 there's a lot of interesting control strategy
24 sides on the software as we move from what's been
25 very much a wholesale focus to much more on the

1 distribution circuits.

2 MR. CALLAWAY: Yeah, and that's in many
3 respects what draws us to working on these
4 problems, so a lot of our research focuses on how
5 do we think about sort of hierarchical control
6 schemes that will stick an aggregator in the
7 middle and make it so that the ISO is not seeing
8 millions of devices showing up in their system,
9 they just see one controllable resource.

10 On the sort of speed and response time
11 issue, in many respects that's just sort of a
12 communications infrastructure problem, right?
13 And one that you can resolve if your signaling
14 pathway is broadband internet, but I think there
15 are a lot of reasons to focus on signaling
16 pathways that go over AMI because, you know, that
17 infrastructure is there, the utilities own it,
18 they'd like to find additional value for it. And
19 it's possible to do. So AMI is very slow for
20 pulling information back. But the Silver Spring
21 meters here, or in PG&E, are not as well suited
22 for this, but a number of utilities have meters
23 that you can broadcast information to very
24 quickly. And so if you're distributing
25 broadcasting information to all of the devices at

1 the same time, and they locally decide what to do
2 with that information, you can get I think an
3 adequately fast response. But you would still
4 need a little bit of additional infrastructure to
5 basically listen to that broadcast and decide
6 what to do with it locally.

7 CHAIRMAN WEISENMILLER: I think the other
8 thing I should -- it was just mentioned, I'll
9 channel Picker for a moment, in that one of the
10 things that President Picker, you know, everyone
11 runs into his office saying storage is the
12 answer, Demand Response is the answer. And it's
13 like could people start thinking about packages
14 more? And certainly whether more interesting
15 preferred palettes took demand response, but also
16 coupled with storage. So for a number of large
17 commercial buildings that you had the combination
18 of the two technologies, but certainly much more
19 interesting and powerful than the individual
20 silos.

21 MR. CALLAWAY: Yeah, no, that's an
22 interesting thought and I think that what we see
23 here, what we can get at with some of these
24 approaches that we're taking is what is the
25 energy storage capability of this aggregation of

1 loads, and it turns out that, you know, you get a
2 C Ratio of like one-fourth, which is -- it's not
3 very good, as you might think a battery would be.
4 So it's more maybe like a flywheel, let's say.
5 And so maybe there's a similar coupling that you
6 can do, or the faster stuff you're going to use
7 DR for, which is a little paradoxical, or at
8 least they're counter to the way we think about
9 it now, and then energy storage providing longer
10 timescale balancing.

11 MR. CASEY: Duncan, first off, I think
12 it's great you're looking at this, but I think
13 there's some value proposition in the wholesale
14 market that you're not capturing here, that if
15 you did I think might change the answer, at least
16 I hope it would. And that is, you know, with
17 regard to the integration challenge we have.

18 MR. CALLAWAY: Yeah.

19 MR. CASEY: And the need to not rely on
20 gas resources for the balancing. When you look
21 at the duck curve, you know, that's a very
22 predictable frequent thing, it's not like a
23 contingency on the system that happens once a
24 year, we're going to be dealing with it every
25 day. And traditional demand, you know, the basin

1 Interruptible Programs are not the right animal
2 to get after this, it has to be something the
3 customer doesn't even see or feel.

4 MR. CALLAWAY: Right.

5 MR. CASEY: And these are the types of
6 loads that if we can aggregate them to scale, and
7 the good news is we do have an aggregation model
8 in our market that will allow just that, you
9 know, the ISO doesn't want to be controlling
10 water heaters, we allow aggregation up to 500
11 kilowatts as kind of the minimum size for our
12 market. And we have a product called a Flexible
13 RA product -

14 MR. CALLAWAY: Right.

15 MR. CASEY: -- that the utilities have to
16 procure, it's a huge revenue source for resources
17 that can provide economic flexibility in addition
18 to whatever reserves they might earn, as well, in
19 the market. So I would just note that, you know,
20 we're really hopeful that with that requirement
21 the economics of this can really pencil out.

22 MR. CALLAWAY: Maybe I can use this
23 opportunity to ask for the services of the ISO
24 because we actually -- so we did this work
25 before, basically there's some shadow prices that

1 are available in this Flex E Ramp, that are
2 available now, that we didn't have access to
3 before, but I had a student that's been, all last
4 spring basically, trying to pull the data down
5 from Oasis on the shadow prices of the Flexible
6 Ramping outcomes, and it was very difficult and
7 tedious for her to get those data. So we'd like
8 to be able to work with those kinds of data to do
9 these kinds of studies in the future.

10 MR. CASEY: Yeah. What you're referring
11 to is something different, which is this flexible
12 ramping constraint we enforce in the market --

13 MR. CALLAWAY: Right.

14 MR. CASEY: -- that has a pricing element
15 to it that can be captured. What I was referring
16 to is within the context of the RA requirement
17 that we have in California, we just this year
18 added a flexibility requirement where a certain
19 amount -- so when the utilities go out and
20 procure capacity on a year-ahead basis, a certain
21 amount of that capacity has to be flexible and
22 that's a bilateral revenue source that is
23 available.

24 MR. CALLAWAY: Okay.

25 COMMISSIONER MCALLISTER: So I really

1 enjoyed your presentation, Duncan. I'm really
2 happy, again, that you're looking at this. And
3 this is very close to my interests and I feel
4 like these conversations haven't happened as much
5 as they really need to, and even if this is sort
6 of a nascent idea, I think it has a lot of
7 potential to figure out how to be relevant in the
8 new kind of distributed multi-polar system that
9 the Grid is becoming. So I feel like it's very
10 relevant.

11 So just a couple questions. I really
12 like the temperature response analysis based on
13 the AMI data and I think that opens up some
14 pathways for discussion. I guess, you know, I
15 like this idea of pre-identifying which customers
16 have the potential so that we can set the system
17 up to go after those, you know, harvest those
18 savings cost-effectively, aggregate those, and
19 not sort of be distracted by all the other stuff
20 where there's not potential.

21 So this is an analytical issue, but it's
22 also a program issue, and I kind of want to,
23 while we've got multiple agencies up at the Dais,
24 I think it's an opportunity to kind of raise that
25 question about program design in terms of how we

1 go out and really do it effectively and get what
2 we want, and then know that we're getting what we
3 want, right? So there's an analytical, but
4 there's also a program and they're very related.

5 You've assumed sort of voluntary
6 participation? Or I guess maybe I'm sort of
7 reading that in your presentation, but you know
8 there is rate design going on, there is this
9 appreciation that individual customers impose
10 cost on the Grid, and that can be built into the
11 rates discussion, I think, without actually
12 treading on any PUC or POU specifics here, but I
13 think it doesn't have to be voluntary and so I
14 think this targeting and requiring is at least an
15 option down the road if we figure out, okay,
16 well, you know, go ahead.

17 CHAIRMAN WEISENMILLER: Actually, I would
18 point out when we were looking at requiring
19 programmable thermostats, that at the Commission
20 Business Meeting several Commissioners went over
21 to talk to the Governor about it and we dropped
22 that requirement.

23 COMMISSIONER MCALLISTER: Yeah, no, there
24 have been mixed experiences with that, for sure,
25 yeah. But you know, in terms of what services a

1 customer is actually paying for, it does matter,
2 so it might be by region, it might be by climate
3 zone, there might be lots of ways to think about
4 this and to really target effectively. So I
5 guess I'm leading up to a question: have you had
6 interactions with, say, some of the vendors on
7 this, like the trains and carriers and the water
8 heater manufacturers, and kind of like looked at
9 sort of pragmatic issues about implementation?
10 You know, certainly it's not rocket science, and
11 we've got the AMI data that we can leverage, and
12 communications that you can leverage, but I'm
13 wondering if you've drilled into sort of some of
14 the details of how it might actually work?

15 MR. CALLAWAY: Yeah, we've reached out a
16 little bit and had a bit of trouble getting
17 traction, finding the right parties to talk to,
18 you know, as you can imagine Trane is a big
19 organization to try to penetrate. We have been
20 getting a little bit more traction talking to a
21 couple of DR aggregators that are focusing on
22 commercial loads, and are now interested in
23 getting into the residential space, and so we're
24 actually just putting in a proposal to the DOE to
25 do exactly that, to try to do some development

1 work there. But any resources that you can point
2 me to, I'd be happy to follow-up on.

3 COMMISSIONER MCALLISTER: Thanks.

4 Anybody else? Okay, let's go on to the next
5 presentation. Thanks very much for being here.
6 Thanks a lot, Duncan.

7 CHAIRMAN WEISENMILLER: Thanks for your
8 participation today, I appreciate it.

9 MS. RAITT: All right, thank you. Our
10 next speaker is Solomon Hsiang from U.C.
11 Berkeley.

12 MR. HSIANG: Hi, thank you very much for
13 having me. I should say upfront that I was asked
14 to come here and speak about how sort of a lot of
15 work in economics can help inform the modeling
16 exercise that many people here are engaged in.
17 And in particular, a lot of work that I've been
18 involved in is thinking about how the economy in
19 a larger sense is going to evolve as the climate
20 changes. And so if we're moving forward to a
21 world where not everyone is mitigating as deeply
22 as California is, the climate might be changing
23 and those economic consequences should then be
24 fed back into how we think about modeling our
25 energy future. So the work that we're doing to a

1 large extent is trying to detect how different
2 changes in the environment, or changes in policy
3 are having implications on the energy system.
4 And I read through some of the analyses that came
5 out of the last round of IEPR funding and was
6 trying to think of the ways in which Applied
7 Economics could make contributions and help sort
8 of push the envelope further.

9 So on the left here are just a couple of
10 ideas for why Applied Economics today could be
11 useful for collaborations in the future. A lot
12 of work in Economics is statistical and a benefit
13 is it allows us to simplify very complex economic
14 processes, sometimes captured in just a few key
15 parameters that then could be fed directly into
16 some of the modeling exercises here. And in
17 particular, a lot of work in economics has
18 focused specifically on causal inference, so
19 understanding how Policy A or how change in the
20 Environment A affects some outcome, B. Okay, so
21 there we can make really strong statements about
22 what's going on.

23 I also think it's useful for sort of
24 implementing -- imposing reality checks on some
25 of the modeling assumptions, so I was reading

1 through some of the reports and trying to
2 understand the numbers that are going into the
3 models, and in a lot of cases real world behavior
4 generates things that are different than what is
5 assumed in the models, and I'll show you some
6 examples of how we've now used empirical
7 estimates to calibrate models, and then produce
8 projections based on that. And so I think that's
9 a big dimension for future action. And in
10 particular, also, a lot of research now a days is
11 pointing out that people's behavior is often very
12 sub-optimal and a lot of these large-scale
13 modeling exercises assume a high level of
14 optimization, but people are subject to all sorts
15 of behavioral biases and we're learning what
16 those look like, and those actually can be
17 incorporated into these types of models in the
18 future.

19 And then finally, one of the biggest
20 benefits of thinking about things from this
21 economic standpoint, I think, is that it points
22 to various interlinked markets. So for example,
23 I will make the case to you very briefly that
24 figuring out where people migrate and settle
25 throughout California in the future is probably

1 going to have zero order impact on future energy
2 demands, and that to a larger extent is going to
3 be affected by land prices, the job markets in
4 the large cities and in the Central Valley, and
5 so if we don't think about what the land markets
6 are doing, we're going to be getting the energy
7 projections off by a large amount.

8 On the right, there are some weaknesses
9 of working with Economists like myself, so first
10 of all, like I said, the statistical approaches
11 are simplifying things that are very complex, so
12 on the one hand it lets us simplify things, on
13 the other hand it forces us to simplify things in
14 cases where that's not always appropriate. There
15 are also just a lot of gaps in our knowledge, we
16 don't know how elements of the economic system
17 behave and we have to be sort of forthcoming
18 about that, I will point to a few things, but
19 many things are still unknown.

20 And then the next two points are
21 important. Everything that we're pulling out of
22 the data is based on historical data and
23 historical behavior. And so there's many aspects
24 of the future that might differ in very
25 fundamental ways from what we've seen

1 historically. And so we can only make
2 projections based on sort of these types of
3 calibrations to the extent that the future looks
4 anything like the past in terms of people's
5 behavior and in terms of the environment that
6 people are faced with.

7 Similarly, if we discover breakthrough
8 technologies, those are going to be unprecedented
9 and those will not be captured by any sort of
10 pre-amortization based on historical experience.
11 And also, many of the markets that are linked may
12 not be captured by the stylized way in which we
13 approach these problems.

14 So I want to go through just a couple of
15 the recent contributions from the literature just
16 because I think the ways in which they are
17 immediately applicable is quite obvious. So for
18 example, here is a calibration of what demand
19 from millions of users throughout California is
20 on a daily basis based on the temperature of the
21 day, okay, and so this is very recent, like very
22 cutting edge work by Max Auffhammer, my colleague
23 at Berkeley, and what you see is unsurprising,
24 CDDs and HDDs increase electricity demand.
25 What's nice here is that this is accounting for

1 what the people on the ground are actually doing.
2 And it's removing all sorts of unobserved
3 differences between individuals. Now, this is
4 useful and can be plugged directly into the
5 projections that are currently being pinned down
6 by parameters that are assumed. But importantly,
7 in very closely related work, you know, not all
8 CDDs are the same. And in the current models
9 that were being projected there was an assumed
10 relationship between CDDs and energy demand that
11 was believed to be held fixed. But of course,
12 individuals are living in hot and humid
13 environments, they're going to have many more
14 air-conditioners than people who are living on
15 the coast where it's generally cool. And you can
16 see that very clearly in the data. So, for
17 example, if we look in Fresno, warming leads to a
18 very steep increase in electricity demand,
19 whereas if you look at San Diego, for example,
20 temperature has effectively no effect on
21 electricity demand because no one has air-
22 conditioners to turn on.

23 And so thinking about this, what we
24 Economists call the Extensive Margin, how people
25 are going to be adopting more air-conditioners in

1 the future as the climate warms, is going to
2 affect not just how many CDDs there are, but what
3 is their effect on the energy system. And that's
4 something that we now have reliable, real world
5 estimates for, that have been used to think about
6 how in the future this curve might evolve, okay,
7 so Max Auffhammer's work has sort of shown us
8 that, especially on the hot side, you can see
9 that as the state warms, we can now project how
10 people will adopt more air-conditioners, and then
11 what that effect will be on the intensive margin,
12 how much energy they're using. And some of Max's
13 projections here are pointing out how this
14 correction, correcting for the number of new ACs
15 that are adopted throughout the state, is going
16 to substantially affect demand projection. So in
17 his estimates, the additional demand from climate
18 change in the future is actually 50 percent
19 larger once you take into account the fact that a
20 large number of individuals will be purchasing
21 new air-conditioners that they wouldn't have
22 purchased had the climate remained the same.

23 Now, these types of numbers are purely
24 simple empirical statistical relationships, but
25 in some recent work with colleagues we released a

1 Risky Business report, which is actually the
2 national assessment of the economic risks of
3 climate change, and in that work we took numbers
4 that Max actually had produced, that I was
5 showing on those previous slides, and we hooked
6 them up to a large engineering model to develop
7 projections. So what I'm showing you here is
8 just one result from that analysis which is
9 actually looking at energy demand nationally
10 across the United States, and there's a large
11 probabilistic component to thinking about the
12 future, thinking about climate change. There's
13 discrepancy between different scientific models
14 about what the climate is actually going to do,
15 and there's also statistical uncertainty about
16 what we've seen in the past. And when you
17 combine those things together, you get
18 distributions that look like this about what
19 things might happen in a specific climate
20 scenario. So this is sort of business as usual
21 scenario and time here is moving vertically, and
22 you see that as we move towards a warming
23 environment, even if the population is held
24 static, demand shifts to the right and,
25 importantly, the distribution of potential demand

1 outcomes also increases, so there's a large
2 amount of uncertainty imposed by these changes
3 that emerges from both a statistical uncertainty
4 and the climate uncertainty.

5 One reason I point you to this is that
6 it's a coupling between these sorts of empirical
7 estimates from the economics and the engineering
8 models on the other side. Okay, and that work
9 was actually recently -- we drilled down into it
10 to produce estimates just for California, which
11 might be of interest here, looking at different
12 regions and, as many of you know, one of the
13 things that really matters most is the fact that
14 everyone throughout the state is demanding on the
15 same days because the temperature is going up,
16 and so we turn on the peaker plants and prices
17 rise dramatically. So for example, based on
18 these empirically calibrated estimates here in
19 the Sacramento Valley, the energy costs are
20 expected to rise. There's a two-thirds
21 probability that it's going to be in that green
22 band, which is just increasing costs by 10 to 30
23 percent, based on nothing but warming alone.

24 Another important factor that's emerged
25 in the literature quite recently is that

1 individuals' income seems to be tightly linked to
2 the environment. And so income is going to
3 affect people's ability to build larger homes
4 that may be more or less energy efficient, it
5 will change their demand for cooling systems, and
6 so in this graph what you see is results from a
7 national study. As you move to the right, you
8 see people's daily income decline substantially,
9 okay, on hotter days. And we have done a variety
10 of simulations suggesting that warming in the
11 future is going to substantially cause the income
12 trajectory of individuals to diverge from what it
13 would have been had the country not warmed. So
14 we're counting for that divergence. It will be
15 important for thinking about the demand for
16 various types of infrastructure and energy
17 services.

18 And in particular, I think one of the key
19 vulnerabilities of California is thinking about
20 all of the agriculture that's at stake, so when
21 you look at people's agricultural income, which
22 is the right panel here, what you see is that a
23 hot day is leading to a reduction of income of
24 roughly \$20.00 per person in the United States
25 Counties across the country.

1 This is going to affect the structure of
2 the labor market across the country and, if
3 anything, what we've seen in the past is climatic
4 disturbances in agriculture lead to a lot of
5 migration towards cities. And so there's going
6 to be populations that are moving, they're going
7 to be trying to find better jobs for themselves,
8 but when they move they're going to create energy
9 demand in those new locations and, importantly,
10 their energy demand in the new location is going
11 to be based on the climate they face in the new
12 location.

13 So if people move to San Francisco, they
14 might demand less energy because it's going to be
15 relatively cooler, but if people are moving
16 towards sort of the cheaper regions where land is
17 a lot less expensive, it also is much warmer and
18 they're going to have heightened energy demand.
19 So that leads us to the point that, you know, in
20 a lot of these projections we're estimating
21 there's going to be 40 million more people in
22 California by the end of the Century, where are
23 they going to be? If they end up in the regions
24 that are hot and are getting hotter, as we move
25 into the future, we're going to dramatically

1 increase overall energy demand just based on
2 individuals, alone. And if we can steer those
3 people to locations that are substantially
4 cooler, that's going to reduce the effects on the
5 energy system. And so I think accounting for
6 what we know about people's mobility is going to
7 have first order effects on how we project demand
8 throughout the state going forward over the next
9 several decades.

10 Finally, the last points I want to make
11 in the last minute is just that there's been a
12 lot of other recent studies that can be used to
13 parameterize other elements of the model, so for
14 example, Meredith Fowlie and other colleagues at
15 Berkeley have done recent studies not in
16 California, but pointing out that sort of
17 weatherization activities have been less
18 effective than is sometimes assumed by some
19 engineering models, and now I think the right
20 reaction to those types of studies are to adopt
21 some of these numbers and just incorporate them
22 into engineering models. In many cases, the
23 reason things are less efficient are because
24 individuals on the ground make a lot of decisions
25 that were just not in the Engineering models, and

1 that's a reasonable first cut, but we need to
2 iterate on the process and provide feedback to
3 the engineering models.

4 And then finally, there's also a lot of
5 work on how the different markets are interlinked
6 and so, for example, this is also not thinking
7 just about California or even future climates, so
8 this was my colleague Reed Walker was studying
9 the Clean Air Act Amendment and trying to
10 understand the cost of compliance, and what we
11 actually saw at that point in time is that, as
12 noncompliant plants were closed, individuals had
13 to go look for work elsewhere, and in that time
14 when they were looking for work elsewhere there
15 were foregone earnings, they were basically not
16 making money that they otherwise would have, and
17 we can actually measure that using Social
18 Security data.

19 So there are many estimates that help us
20 think about how the labor market, for example, is
21 interlinked with these type of regulations and
22 can give us better estimates of what the true
23 cost to society is of certain regulations because
24 in some cases they might also be benefits, okay,
25 I don't want to be pessimistic here.

1 Finally, the very last point is that one
2 of the recent developments is pointing out around
3 the world the largest emissions of greenhouse
4 gasses in the future are not going to come from
5 California, they're not even going to come from
6 the United States. They're going to come from
7 emerging economies, places like Brazil, Mexico,
8 China and India, and what we're seeing in these
9 different regions is that as populations get
10 higher incomes and are better able to achieve
11 standards of living similar to what we have here,
12 they demand tremendously more energy. And so to
13 the extent that we can design systems that are
14 scalable and even exportable, we can look for
15 innovations that can be sent elsewhere in the
16 world, we will amplify the impact of those
17 innovations because it will be mitigating
18 greenhouse gasses in some of the fastest growing
19 carbon markets.

20 So I just want to end there. There are
21 many opportunities, I think, for collaboration
22 between people in this room and people who are
23 working on these sort of empirical economic
24 problems, and in particular I want to point
25 people towards thinking about sort of the

1 extensive margin of how demand is going to evolve
2 in the future, how income is going to affect
3 energy demand, and how the distribution of
4 potential earnings based on climatic changes is
5 going to really affect how populations are
6 distributed across the state, and that in turn is
7 going to have first order effect on the demand
8 structure. Thanks a lot.

9 CHAIRMAN WEISENMILLER: Thanks. I was
10 going to ask you one question. I was at a SEEP
11 Conference last week and someone pointed out
12 obviously greenhouse gas emissions is a global
13 issue, you know, and to the extent we have a Cap-
14 and-Trade, that there can be effects if different
15 sectors have different degrees of compliance with
16 Cap-and-Trade. And I pointed out that the
17 utilities sector in the last ARB results was 20
18 percent below 1990 levels, which means that the
19 other sectors have less of an impact, they all
20 gave PG&E and SDG&E a round of applause for
21 taking more of the burden, but so one of the
22 questions is thinking about some of the -- you
23 know, I think we expect the utility sector to
24 lead, but it is probably worth thinking of in
25 terms of economic impacts what if any impacts are

1 from that disproportionate leadership role.
2 Another question I just wanted to ask is one of
3 the things that we always worry about is what are
4 we missing in our forecasts? We do include
5 climate change, but having said that, looking
6 longer term the types of errors people have made,
7 one is technology, if you go back to what we
8 adopted in the '80s, there was no such thing as
9 computers, or the sort of panoply of devices that
10 are in people's houses now. Certainly if you
11 look back from the '50s, there were forecasted
12 sort of the suburbanization of America and women
13 joining the workforce, both which no one was
14 expecting it at that point. So the question in
15 part, particularly for these longer term
16 scenarios is what are those non-energy per se
17 things that are going to have big effects on what
18 the scenarios should look like?

19 MR. HSIANG: For sure. That's, I think,
20 part of what I've been pointing out are some of
21 the weaknesses in the studies that I was looking
22 through, but as I pointed out in the beginning,
23 innovations that are things we can't even imagine
24 today, like the Internet if we go back in time,
25 are very hard and inherently difficult to

1 predict. I think if someone could go and think
2 about what the rates are of innovation and what
3 are the rates of unanticipated efficiency gains,
4 for example, in different sectors, and can use
5 that to go forward in time, to think about what
6 the gains might look like. But of course, like I
7 said in the beginning, that's sort of one of the
8 inherent difficulties of trying to project
9 anything going forward. And so the exercise
10 where we were thinking a lot about uncertainty
11 becomes important because there's also innovation
12 uncertainty, as you correctly point out, for
13 sure.

14 CHAIRMAN WEISENMILLER: Well, again,
15 thanks for being here. Interesting conversation.
16 Let's go on to the last but not least, Guido.

17 MR. FRANCO: Good afternoon. So I'm
18 going to talk about the developing of the next
19 generation of energy scenarios for California.
20 Before I do that, I want to provide some
21 background information.

22 And the first thing I want to point out
23 is that we have been working on climate change
24 impacts to the energy system for the last 12 plus
25 years and I think we have made a lot of progress.

1 I think we're one of the leaders on the national
2 level with respect to this aspect of the
3 research. But what we have done so far is to
4 look at the energy system of today and
5 superimpose the climate of the future, to try to
6 understand what will be the effects. For
7 example, if we experience the temperatures of the
8 end of the Century and today, we'd have a
9 decreased efficiency of thermal power plants,
10 we'll have increase in demand for electricity due
11 to the peak days, we'll have decreased in
12 efficiency on transformers, even PVs,
13 Photovoltaics will see a reduction on the order
14 of about two or three percent of efficiency.

15 So you add all of that, it means during a
16 peak day we'll need to increase capacity on the
17 order of 30 to 40 percent. So that gives you an
18 order of magnitude of what will be the impacts.
19 Again, but if we assume that the climate of the
20 future is superimposed to the system of today.

21 As the Chairman indicated, the 2013 IEPR
22 Report, you look at the next 10 years, and
23 estimated that it will be an increased capacity
24 on the order of 1.6 gigawatts. That's not a lot,
25 but it's two large power plants and I think it's

1 important, and it's the next 10 years, the issue
2 with climate change study, the increasing
3 temperatures are not going to be linear, they're
4 going to accelerate with time.

5 At the same time, we have been talking
6 today about the rapid transformation of the
7 energy system, what we need to do to reduce
8 greenhouse gas emissions by 80 percent. One of
9 the problems has been that we are not really
10 considering climate change and this is an
11 important issue because climate change by itself
12 will create significant impacts and if we don't
13 consider those impacts, we may be making mistakes
14 with respect to the projections of future energy
15 scenarios.

16 The figure on the right bottom is
17 estimated costs and there is a wide variation of
18 cost, for example, in 2050 the upper and the
19 arrow bar, it's not an arrow bar, but it's an
20 estimation of uncertainty. The cost goes up if
21 you assume, for example, extensive amounts, if
22 you assume for example, in this scheme it was a
23 very simple exercise, hydro by 50 percent. It's
24 an unrealistic assumption, but it gives you an
25 indication of the importance of hydro, even by

1 2050.

2 But at the same time, it doesn't make
3 sense. A 50 percent reduction for the Western
4 United States, it doesn't make sense. For
5 example, climate projections suggest that there
6 will be more rain in the Pacific Northwest, more
7 precipitation, and more rain in the west part of
8 Canada. At the same time, heating degree days
9 will go down, so there are some papers suggesting
10 there will be excess capacity in the winter time.
11 So those types of things, I think, we need to
12 start considering.

13 Okay, so this is the way we do analysis
14 or economists do analysis, let's say here the
15 power costs, the average power costs for the
16 Western United States in different years, the red
17 line shows the business as usual, let's see the
18 RCPA.5, so the costs are much lower than if we
19 have to reduce emissions by let's say 80 percent
20 by 2050, that's the RCP4.5, you know, the costs
21 are much higher. But one problem with this is
22 that it doesn't take climate change into account.
23 So what will happen with the cause of the green
24 scenario, the RCP4.5? Of course, it will go up
25 because we have higher temperatures, we need more

1 capacity. The amount will go up. But what will
2 happen with the red line if we start taking
3 climate change into account? Remember the
4 temperatures for RCPA.5 will be much higher than
5 the temperatures for RCP4.5.

6 So one study that I just found, it was
7 released I think a week or two, suggest that the
8 overall cost will be compatible for both the
9 RCP.5 and RCP8.5. So it's a paper that was
10 supported by the U.S. EPA, MIT, Pacific Northwest
11 National Laboratory, and ICF did the study, and
12 while we take lessons is also that you can
13 different results depending on the electricity
14 model that you use. So it's not surprising, but
15 I think it's important to take that into account.

16 So a piece of background information. So
17 we're going to start the next California Climate
18 Change Assessment that is being led by the
19 California Natural Resources Agency, there are
20 about 20 agency studies involved in the study,
21 there will be like let's say 60-80 scientific
22 papers that will come after that. A report to
23 the Governor summarizing the results will be
24 issued in 2018. The Energy Commission is a very
25 active participant of this study. We are

1 commissioned the energy-related studies for the
2 fourth assessment. The Natural Resources
3 Agency's commissioned the non-energy-related
4 studies, but all these studies will use a common
5 set of both climate scenarios. By the way, it
6 will be quasi-probabilistic climate scenarios,
7 quasi-probabilistic (indiscernible) scenarios,
8 and also we try to use compensation of
9 socioeconomic scenarios. And that is very
10 important because we wanted to inter-compare, we
11 have to integrate all these studies and overall
12 view of California.

13 This graph on the bottom is new results
14 from a new downscaling technique that has been
15 shown to be superior to prior downscale
16 techniques for California, showing on the left,
17 at least my left, for you left, too, that the
18 minimum temperature will go up at a faster rate
19 than the maximum temperatures on the right. That
20 is in agreement with what we have in California
21 and a lot of places in the world.

22 So let me talk now about the new research
23 project that the Energy Commission just started.
24 It will involve E3, LBNL, and Berkeley as a team,
25 and U.C. Irvine. So for the first time, there

1 are two things that will happen for the first
2 time, first we will integrate mitigation and
3 adaptation. The 2013 IEPR mandates, at least
4 that's my interpretation, to start looking on the
5 revolution of the energy system not only to
6 reduce greenhouse gas emissions, but also to make
7 it less vulnerable to climate impacts.

8 In addition, well, and we will do that
9 basically having a common view of mitigation and
10 adaptation. It's also mandated from the Climate
11 Action Team Research Plan, we will generate in
12 that research plan, we have a chapter on
13 mitigation, a chapter on adaptation, and we were
14 told by the Governor's Office no, you have to put
15 one chapter of mitigation and adaptation. We
16 complained, but they didn't listen to us, I'm
17 glad they didn't listen to us, so now we have a
18 very robust chapter on both mitigation and
19 adaptation and how they need to be combined and
20 considered as a whole, as one thing.

21 And there are multiple options towards
22 that, toward a changing climate, one option is
23 called a win-win strategy and we're also
24 searching for this no regrets type of -- not only
25 no regrets, but also win-win strategies. For

1 example, microgrids that get the energy from
2 renewable sources, so here is the Borrego Springs
3 in June, just last month, so San Diego Gas &
4 Electric has to make repairs in I think the
5 transmission line that will have required to cut
6 the power flows to Borrego Springs for 10 hours
7 because they had a Microgrid, you know, they were
8 able to continue operations. And I think this
9 project was also funded by the Energy Commission.
10 So we're looking for these win-win situations
11 where mitigation and adaptation contributes to
12 the solutions.

13 Okay, so the potential features of the
14 study, we're looking for input from this
15 audience, from the Chairman, from our sister
16 agencies about the design of the study. But one
17 thing is that we would like to use a common set
18 of reference scenarios, so the three groups will
19 use the same type of assumptions about also
20 technology cost, vulnerability, at least for the
21 reference scenario. We will be compatible with
22 the next California Fourth Assessment using these
23 common set, the same climate scenarios and
24 (indiscernible). We will start taking into
25 account the impact of climate change to the

1 energy system, so for example how PVs will be
2 affected by high temperatures. The research
3 project is funded by the CPUC, with LBNL on
4 Demand Response, it's like a supply curve for
5 demand response, that's my incorrect perhaps
6 understanding, but it will be done by March 2016,
7 so we will try to use that information to improve
8 the representation of the Demand Response in the
9 study.

10 There will be three electricity models,
11 one will be the Pathways, the other one is the
12 High Grid Model that U.C. Irvine has developed,
13 and then the Switch Model from U.C. Berkeley, and
14 there will also be some stochastic modeling done
15 for this project. So, I mean, we will also be
16 asking for what are the policy type of questions
17 that we'll need to address in the study, so for
18 example the issue that was referenced before
19 about the movements of goods, I mean, how
20 important or how we should model that and what
21 are the implications, different policies on
22 overall demand of energy, but also making the
23 energy system less vulnerable to climate impacts.

24 So we also will be starting to, I mean,
25 one of the things that we tried to do is to do

1 more in-depth distribution scenarios, a
2 representation of the distribution system in the
3 modeling work. And also I think at one point we
4 would like to start also using this modeling
5 system to inform what energy technologies are
6 critical, like for example heat pumps may be
7 critical ones, but there may not be enough work
8 doing that. In addition, heat pumps, also used
9 refrigerants and according to the ARB
10 refrigerants, if we don't reduce the amount of
11 emissions from refrigerants, we will not be able
12 to achieve the 80 percent reductions by 2050. So
13 it's both an energy and emissions scenarios type
14 of issue.

15 I also would like to start incorporating
16 the information we're gaining from our research
17 projects on technologies, you know, how to better
18 represent those energy technologies in the
19 overall work for this study. With that, thank
20 you very much.

21 CHAIRMAN WEISENMILLER: Thank you. I was
22 just going to make a couple brief comments, one
23 was I was going to encourage Scott to talk to
24 Picker as, you know, at this point people are
25 starting the detailed engineering on the

1 distribution system and I guess part of the
2 question is are there scenarios we could be
3 developing here that can illustrate some of the
4 potential possibilities there, and also
5 technologies. Again, you hear a lot of people
6 coming through the PUC talking about technologies
7 and, again, talking to Michael Moore about the
8 more than Smart effort, he's really trying to get
9 people to look more at packages and less, you
10 know, "Here's my specific silo, give me
11 everything." But to the extent we can actually
12 come up with pretty reasonable areas there.

13 I think the other observation I was going
14 to make, you know, when we were doing the
15 Governor's State of the State, we were struggling
16 between goals and pillars, and two of the areas
17 which ended up as pillars but not goals, one of
18 them was the short-term climate pollutants and,
19 you know, as you go through the Pathways study,
20 sometimes it's number 3 and sometimes it's 3 and
21 sometimes there's 4. And what we're struggling
22 with was that we didn't have much understanding
23 of the inventories, we didn't have much
24 understanding of what we could do there yet, at
25 least when the study was done. So trying to get

1 better there. And I guess the fifth pathway was
2 sort of Ag and Forestry. And again, at this
3 point given the wildflowers the big question is,
4 is our forestry a source or a sink for CO₂,
5 particularly now and going forward? And I think
6 just to allude on the bioenergy part for a while,
7 if you look at pathways, we've struggled with
8 again whether to use it for transportation or
9 electrification, but the other issue was, what's
10 the amount? We found a fairly optimistic
11 industry study that had a lot of biomass
12 nationwide, and we somehow made an assumption
13 that a lot of that, a disproportionate amount was
14 going to end up from nationwide into California,
15 and again what was the infrastructure? If you
16 look at a lot of the biomass powered projects in
17 California that have died, basically you could
18 not move the biomass more than 50 miles. So, I
19 mean, we're talking about moving lots of dirt
20 from around the country, so again that's an area
21 which I'm just not sure, but the results made
22 sense there. Anyone else? But again, certainly
23 I guess we should ask Heather to remind people
24 when written comments are due.

25 MS. RAITT: They're due August 7th. And

1 then also, if anybody wants to make public
2 comments, if you could fill out a blue card.

3 COMMISSIONER MCALLISTER: I'm good,
4 thanks, Guido, I appreciate it.

5 CHAIRMAN WEISENMILLER: So on to public
6 comments. We have some blue cards in the room.
7 So let's start with Dr. Alexander Cannara.
8 Excuse me if I botched your name.

9 DR. CANNARA: If you're Italian, it's
10 'Cannara.'

11 CHAIRMAN WEISENMILLER: Okay.

12 DR. CANNARA: But you're not, right.

13 CHAIRMAN WEISENMILLER: My grandfather
14 was, so.

15 DR. CANNARA: Oh good, yeah. Okay, some
16 comments based upon being at this event and
17 previous events at the CEC and Water Resources
18 Control Board, BCDC, and so forth. And what it
19 has come to remind me of today, in total, not
20 just this hearing, is the old Laurel and Hardy
21 movie called "Another Fine Mess." And it seems
22 that that's the way California has been operating
23 in recent years because we've not really put the
24 attention to science and engineering that we
25 should. We have a lot of people with a lot of

1 axes to grind, and irons in the energy fire, for
2 instance, the water fire, we know all these crazy
3 things that go on here. So what I'd like to say
4 is that the solution to the California Energy
5 problem is really quite straightforward, and I
6 don't know if anyone here has read the
7 President's report to JFK in 1962 on how to deal
8 with U.S. Energy needs into the future, but I
9 have a copy here if anyone wants one, and I'll
10 leave one for the Commission.

11 CHAIRMAN WEISENMILLER: Yeah, if you
12 would put it on the record, that would be good.

13 DR. CANNARA: Yeah. Basically the
14 solution is very simple. Nuclear power.
15 California seems to have a very odd view of
16 itself as a highly techy country of its own,
17 eight percent of the world's GDP, perhaps, and
18 two or three percent of the world's emissions.
19 But that is in fact the basic solution, and the
20 NREL presentation here demonstrated that. We had
21 this nice graph with all these different variable
22 sources, and beneath was a nice constant bar of
23 nuclear power to be relied upon for years, and
24 with the best safety record of any power source
25 ever deployed by mankind. So that is something

1 that we need to correct, and there are a bunch of
2 us trying to get that corrected in California
3 policy.

4 I'd also like to mention that currently
5 there seems to be this gas orientation in
6 California, which is really quite strange because
7 now, as we have studied and scientists have
8 studied, gas as a greenhouse aggravator is about
9 as bad as coal because gas when released, by
10 exploration, processing, extraction,
11 transportation, and so forth, is 100 times as bad
12 as CO₂, so we know that's science, we know it's
13 the leakage to be measured, NASA has measured it
14 across the country, in particular.

15 CHAIRMAN WEISENMILLER: Okay, thank you.
16 Your time is up.

17 DR. CANNARA: I just have one --

18 CHAIRMAN WEISENMILLER: Your time is up.
19 Please, let's go to the next one.

20 DR. CANNARA: My time is up.

21 CHAIRMAN WEISENMILLER: You can submit
22 written comments.

23 DR. CANNARA: Well, I just had one thing
24 that everybody should know, is that when you
25 deploy to remove 80 percent of power from

1 combustion, and you deploy --

2 CHAIRMAN WEISENMILLER: That's fine, your
3 time is up. Send written comments. The next
4 person is Bob Greene, please.

5 DR. CANNARA: Eighty percent of
6 renewables means you would deploy 200 percent.

7 CHAIRMAN WEISENMILLER: Bob Greene,
8 please.

9 MR. GREENE: I'm Bob Greene. My PhD. is
10 in Physics and I'm from Mountain View,
11 California. I want to mirror some of the things
12 that Alex said. When I came here, I thought this
13 was a workshop on the state of science on
14 scenarios of deeply reducing greenhouse gases,
15 but I never heard a word about methane which is a
16 big issue, particularly with gas extraction. And
17 if the real goal is to reduce greenhouse gases,
18 we have to eliminate all CO₂ that we can, and the
19 way to do that, I believe, is with nuclear. Your
20 baseload up, your duck curve gets compressed, so
21 you would solve a lot of the problems that you
22 had otherwise.

23 I will be submitting comments on the
24 record, but I'd like to go into some other broad
25 comments, which I can't necessarily verify, but I

1 suspect that nobody in this room can call me
2 wrong on, either.

3 I think we're missing a sense of urgency.
4 I think that things are moving a lot more rapidly
5 than we realize. We've seen this particularly
6 with the poles, how they are melting at much
7 greater rates than anyone predicted, or any of
8 the models predicted. And there's a reason for
9 that, and that's because Scientists are naturally
10 prone to take conservative points of view not to
11 create panic or to look stupid. But they do look
12 stupid because they don't get the measure of the
13 problem.

14 I think we're missing quantity about how
15 much energy we really need and, you know, some of
16 the models have some elements of climate change,
17 but they're missing some big ones. Okay, a big
18 one is ocean acidification. Okay, we have done
19 some work on what it would take to mitigate ocean
20 acidification and it is massive amounts of
21 energy, none of which are planned in these models
22 whatsoever. I don't see anything in there for
23 sea rise, sea level rise. I'm not sure we have
24 the full measure of what it means to have an
25 Electric Vehicle economy. We don't necessarily

1 include desalination efforts, as well. So I
2 think we're missing both in quantity, quality,
3 urgency, and I think that we need to get much
4 more active in this. So I say we need all the
5 nuclear that we can have, as fast as we can get
6 it. Stick with traditional nuclear, you know,
7 like Diablo Canyon and San Onofre, but also new
8 nuclear in terms of Molten Salt Reactors, which
9 could be a major industry for the state if we got
10 on it.

11 CHAIRMAN WEISENMILLER: Okay, thank you.
12 Let's go on to Joseph, please.

13 MR. IVORA: My name is Joseph Ivora. I'm
14 a retired Civil Engineer from the State of
15 California and from PG&E. And I'm a Gabel
16 supporter and nuclear energy supporter. I don't
17 know, I think most people realize that 63 percent
18 of our country's clean energy, no pollutions, is
19 from nuclear power, yet we never talk about
20 nuclear. Today there's very little talk about
21 nuclear power. Anyway, I left this morning and I
22 left my notes at home, so I'll have to cut this
23 short, unfortunately, and I still have two
24 minutes. Let's see, Diablo Canyon has a --

25 CHAIRMAN WEISENMILLER: You could

1 certainly file written comments and you can -
2 normally, I only allow one person from an
3 organization to speak, but since both of you have
4 been here for a while --

5 MR. IVORA: Okay.

6 CHAIRMAN WEISENMILLER: -- I was
7 flexible. But I'm just saying --

8 MR. IVORA: I'll send in something.
9 Anyway, I just want to say the capacity factors
10 in solar is 15 to 20 percent, and wind is 35
11 percent, and Diablo Canyon is 90 percent. Thank
12 you.

13 CHAIRMAN WEISENMILLER: Okay, thank you.
14 So Gene Nelson.

15 DR. NELSON: Good afternoon. My name is
16 Dr. Gene Nelson. I have a PhD in Radiation
17 Biophysics and teach on the faculty at Cuesta
18 College in San Luis Obispo, California. I
19 suggest a focus on the most efficient use of
20 resources to achieve greenhouse gas and emissions
21 reductions. We look at the Dutch and German
22 experience where consumers are indeed requesting
23 100 percent nuclear power. California should
24 offer this option in the PG&E service territory
25 using Diablo Canyon power, and also import more

1 nuclear power from out of state into California
2 for other service territories. As Electric
3 Vehicle Charging Stations expand, Diablo Canyon
4 should power these stations so, indeed, we really
5 have Zero Emissions Vehicles as opposed to having
6 vehicles that are really powered indirectly and
7 inefficiently by natural gas.

8 Right now, we have a unique pairing
9 between Diablo Canyon and Helms Pump Storage and
10 they're already used to provide more emissions-
11 free power in California with Diablo Canyon
12 recharging Helms at night. To make both wind and
13 solar more grid friendly, we've had all kinds of
14 conversations today, all kinds of like dancing
15 around the head of a pin, but really what should
16 be required is gradually increasing amounts of
17 energy storage to both shave the peaks and fill
18 in the valleys. And that should be required -
19 required to minimize over-generation events
20 because over-generation events cost money. The
21 German experience is very clear on that, and
22 basically what you're also getting by putting in
23 energy storage is an increase in capacity factor,
24 which again makes those variable random forms of
25 energy gathering much much more efficient. So

1 thank you very much.

2 CHAIRMAN WEISENMILLER: Thank you.

3 Anyone else in the room? Let's check on the
4 line.

5 MS. RAITT: Nobody on WebEx. Let's open
6 the lines briefly. So if you're on the phone,
7 please mute your line unless you want to make a
8 comment. I don't think we have any comments.

9 COMMISSIONER MCALLISTER: Great. So I
10 think I've learned a lot and it's been a very
11 stimulating discussion, you know, some of which I
12 was aware of, and a little bit that I was not,
13 and so it's great and I really appreciate
14 everybody sticking it out, we're a little bit
15 overtime, which I apologize for, but I think it's
16 been worth it, and it's really great to share the
17 Dais with our sister agencies and certainly
18 appreciate all your expertise and insight, and
19 looking forward to continuing the dialogue both
20 across agencies and reading everybody's written
21 comments that they submit by August 7th, right?

22 MS. RAITT: Yes, the 7th, yes.

23 CHAIRMAN WEISENMILLER: Yeah. That's
24 good. I want to thank everyone. I would note,
25 yeah, someone after the renewables thing, it was

1 like, "God, this is the only principals (ph) I've
2 ever been to." It's like, "Well, God, you can
3 just come here on a Friday afternoon for an IEPR
4 Workshop," you know? So anyway, thanks everyone
5 for being here, looking forward to your written
6 comments, and have a good weekend.

7 (Whereupon, at 2:20 p.m., the workshop was
8 adjourned.)

9 -o0o-

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25