

DOCKETED

Docket Number:	15-IEPR-07
Project Title:	Southern California Electricity Infrastructure Assessment
TN #:	206020
Document Title:	Transcript of August 17, 2015 Lead Commissioner Workshop on Southern California Electricity Reliability
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/8/2015 3:38:25 PM
Docketed Date:	9/8/2015

BEFORE THE CALIFORNIA ENERGY COMMISSION

In the Matter of:) Docket No.: 15-IEPR-07
2015 Integrated Energy Policy)
Report Lead Commissioner Workshop)
_____)

SOUTHERN CALIFORNIA ELECTRICITY RELIABILITY

UNIVERSITY OF CALIFORNIA, IRVINE
STUDENT CENTER, BALLROOM C
IRVINE, CALIFORNIA

MONDAY, AUGUST 17, 2015

10:00 A.M.

Reported by:

Martha L. Nelson

APPEARANCESCOMMISSIONERS

Robert Weisenmiller, Chair, California Energy Commission

Andrew McAllister, Lead Commissioner, IEPR Committee

Michel P. Florio, California Public Utilities Commission

Steve Berberich, California Independent System Operator

Barry Wallerstein, Southern California Air Quality
Management District

Jonathan Bishop, State Water Resource Control Board

STAFF

Heather Raitt, IEPR Project Manager

PUBLIC ADVISER

Shawn Pittard

PANELISTS

Mike Jaske, California Energy Commission

Michele Kito, California Public Utilities Commission

James Avery, San Diego Gas and Electric

Caroline McAndrews, Southern California Edison

Tom Doughty, California Independent System Operator

Dana Cabbell, Southern California Edison

Roger Johnson, California Energy Commission

Lana Wong, California Energy Commission

APPEARANCES

PANELISTS

Mohsen Nazemi, Southern California Air Quality
Management District

John Annicchiarico, San Diego Air Pollution Control
District

Lisa Beckham, USEPA, Region IX (via WebEx)

Tung Le, California Air Resources Board

PUBLIC COMMENT

Robert Smith, TransCanyon

Rexford Wait, Nevada Hydro Company

Brian Theaker, NRG Energy

INDEX

PAGE

PANEL 1:

UPDATE ON ACTIVITIES IDENTIFIED IN DRAFT PLAN

PREFERRED RESOURCE DEVELOPMENT AND
GENERATION POWER PURCHASE AGREEMENT

Michele Kito, CPUC	8
James Avery, SDG&E	11
Caroline McAndrews, SCE	17

TRANSMISSION SYSTEM ADDITIONS

Tom Doughty, CAISO	52
James Avery, SDG&E	61
Dana Cabbell, SCE	68

GENERATION PERMITTING

Robert Johnson, CEC	73
---------------------	----

PANEL 2:CONTINUED UPDATE ON ACTIVITIES IDENTIFIED IN DRAFT
PLANPROJECTOIN TOOL TO SUPPORT CONTINGENCY
MITIGATION DECISION MAKING

Mike Jaske, CEC	83
Lana Wong, CEC	93

CONTINGENCY MITIGATION MEASURES

Mike Jaske, CEC	135
-----------------	-----

INDEX

PAGE

PANEL 3:

ENVIRONMENTAL AGENCY CONSIDERATIONS

AIR CREDITS IN SOUTH COAST AIR BASIN
AND SAN DIEGO

Mohsen Nazemi, SCAQMD	155
John Annicchiarico, SDAPCD	166

U.S. ENVIRONMENTAL PROTECTION AGENCY
REGULATIONS

Lisa Beckham, USEPA	171
Tung Le, California ARB	178

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

10:00 A.M.

IRVINE, CALIFORNIA, MONDAY, AUGUST 17, 2015

(The meeting commenced at 10:06 a.m.)

MS. RAITT: Hi. Good morning and welcome to today's IEPR Lead Commissioner Workshop on Southern California Electricity Reliability.

I'm Heather Raitt, the IEPR Project Manager. So today we're offsite at UC Irvine and having to do some workarounds with our sound system and -- which is happening right now. So please bear with us as we work out the technical details that may be going on during the day.

A few housekeeping items. There's restrooms out the door to the left, down the hall. Upstairs on the second floor there's a food court with lots of food options and coffee. And we'll be taking a lunch break around noon for folks to go up there. There's stairs you can get to and an elevator if you want to go upstairs directly to the right as you exit.

Materials for the meeting are on the tables as you enter. And Shawn Pittard in the back of the room will be taking blue cards. If you wanted to make comments, we'll be doing public comments at the end of the day, limiting comments to three minutes. And after we hear from folks in

1 the room we'll be hopefully taking folks' comments from
2 WebEx.

3 Written comments are welcome. The instructions
4 for providing comments are on the public notice for the
5 workshop which is available -- all the materials are
6 available online. And written comments are due August 31st.

7 So with that, I'll turn it over to the
8 Commissioners.

9 COMMISSIONER MCALLISTER: Great. Thank you,
10 Heather. So just to be clear of the rules, can people hear
11 me right now? Okay. So I have to use that phone that
12 phone, as well. Yeah. Okay. All right. Well, that's the
13 rule. Okay. Thanks for sacrificing your -- your cell phone
14 here. Okay. So I'm hoping this is going to get a little --
15 we'll just see.

16 So I'll try to speak into two microphones at once
17 here. And we're getting a little feedback. If you could
18 turn off the audio from this phone being piped back into the
19 room, that would be great.

20 (Colloquy)

21 COMMISSIONER MCALLISTER: We still need to get rid
22 of the audio back in the room. We still need to have it not
23 piped back in the room.

24 THE COURT REPORTER: I need you guys all to be on
25 mike because I'm recording from these mikes.

1 COMMISSIONER MCALLISTER: Uh-huh.

2 CHAIR WEISENMILLER: Oh.

3 COMMISSIONER MCALLISTER: Okay. Okay. Stay
4 tuned, everybody. We still have some technical
5 difficulties.

6 (Pause)

7 MS. RAITT: Okay. We're continuing to have some
8 technical issues we're trying to work out. So we'll need a
9 couple more minutes.

10 And also I neglected to mention that we are
11 recording this, so there will be a written transcript. And
12 you're being -- I just want parties to know they're being
13 recorded. Thanks.

14 (Off the record at 10:10 a.m.)

15 (On the record at 10:20 a.m.)

16 COMMISSIONER MCALLISTER: Okay, so let's get
17 started. My name is Andrew McAllister. I'm the Lead
18 Commissioner on the 2014 Integrated Energy Policy Report.
19 And this is now our -- one of our keystone events, really,
20 in California within the IEPR process. We know how
21 important Southern California reliability is with San Onofre
22 and OTC rules coming up, and for -- and a whole host of
23 other reasons with renewables and integration of them, all
24 sorts of demand-side resources, localized generation,
25 etcetera, etcetera. There are so many interesting trends

1 today in the electric sector. And we need to make sure that
2 we're checking all the boxes we need to for reliability and
3 for planning and for creating the conditions for cost-
4 effective approaches to evolving our electric sector to make
5 all those pieces fit together.

6 So I'm gratified to be here today with the dais,
7 certainly Chair Weisenmiller, Commissioner Florio from the
8 CPUC, Steve Berberich from the ISO, Barry Wallerstein from
9 So Cal AQMD -- or South Coast rather, sorry, and Jonathan
10 Bishop from the State Water Resources Control Board. Thank
11 you all for being here.

12 I want to acknowledge the Chair and Chair's Office
13 for really driving and putting this together, as well, this
14 session.

15 President Picker and Chairman Nichols it looks
16 probably will not be with us today, so they send their
17 regrets.

18 Given that we're already 20 minutes into our day
19 I'm not going to make any significant opening comments.
20 We'll pass the microphone to the Chair so that we can keep
21 proceeding moving and not shortchange the panelists who have
22 a lot of interesting things to say.

23 So Chair Weisenmiller?

24 CHAIR WEISENMILLER: Thank you. Thank you,
25 Commissioner McAllister. As you indicated, this has become

1 an annual event ever since San Onofre went down. We've had
2 a workshop in Southern California to examine reliability
3 issues. This workshop has been -- I think Commissioner
4 Florio has been, I want to say at every one of them so far,
5 as I have, and as has Steve Berberich, and as Barry
6 Wallerstein. So this has certainly been an interagency
7 effort. It's not easy but we are saying on progress to
8 really monitor how we're doing on getting the resources in
9 place. We have a pretty ambitious plan, particularly every
10 reliance on preferred resources. And we need to every year
11 visit our progress to date. And I look forward to any sort
12 of corrections we need to do.

13 Again, thanks everyone for being here, either
14 physically or on the phone.

15 COMMISSIONER FLORIO: Thank you. A pleasure to be
16 here today at lovely University of California at Irvine.
17 The PUC has really moved from the planning stage to the
18 implementation stage on these critical issues. And it makes
19 it vitally important that we keep track of how well we're
20 doing. So today as a check-in, are we on track or do we
21 need to up our game? And looking forward to some very
22 interesting presentations today.

23 (Colloquy between Commissioners)

24 COMMISSIONER BERBERICH: Good morning, everyone.
25 I'm Steve Berberich, the CEO of California ISO.

1 Commissioner McAllister, I appreciate you having
2 me here today.

3 I think the representation here at the dais says
4 everything about the import of reliability here in Southern
5 California and the economic engine down here representing
6 the water agencies, air agencies, reliability organizations,
7 the PUC and the California Energy Commission coming together
8 to make sure that we responded to the reliability needs down
9 here.

10 As it relates to that, and per request of Chair
11 Weisenmiller and Commissioner McAllister, today I think
12 really points to a highlight of what we're dealing with.
13 Today we expect probably the record loads for the year,
14 about 45,000 megawatts across the state, very heavy loads.
15 As everyone notes as they sweated as they walked in this
16 morning, it's hot down here. And I think it just highlights
17 again that we need to pay close attention to this.
18 Representatives from the California ISO will talk about many
19 of the upgrades that have been made on the system. As
20 Commissioner Florio said, we're really in implementation
21 phase at this point.

22 But for those listening, it looks like reliability
23 will be okay today. It will certainly be tight. The good
24 news is we don't have a lot of cloud cover over the solar
25 fields, as opposed to last time when we -- when we were hot

1 when we had monsoonal flows and we had very diminished solar
2 activity at that point. So we should be close today, but
3 we'll keep a close eye on and it think everything will be
4 fine.

5 COMMISSIONER WALLERSTEIN: Good morning, everyone.
6 I'm Barry Wallerstein, the Executive Officer of the South
7 Coast Air Quality Manager District.

8 And I want to extend a very sincere thank you to
9 the Commission for the invitation to join you again and,
10 most importantly, the real spirit of partnership at which
11 the CEC is proceeding on this IEPR. I think it's incredibly
12 important. We're at a very important juncture and time
13 relative to planning and air quality. The federal
14 government has just promulgated new standards for greenhouse
15 gasses for new power plants, as well as for the existing
16 power plant. And so it's important that we look at the air
17 issues, as well as the energy issues and how they interact.

18 Not only that, as I've mentioned in previous
19 meetings, we have a major update of the Regional Clean Air
20 Plan that will be submitted to EPA in about 11 months. So
21 it's very important that the strategies that our agency
22 brings forward with the California Resources Board that
23 could increase energy demand be incorporated into our energy
24 planning efforts here in the state of California. So I'm
25 looking forward to the day and the information that's going

1 to be shared with everyone.

2 COMMISSIONER BISHOP: Good morning, I'm Jonathan
3 Bishop with the State Water Resources Control Board. And I
4 also appreciate the opportunity to be here today and to be
5 able to hear what's going on.

6 It is 2015. The first compliance dates for the
7 once-through cooling are in a few months, the end of this
8 year. And then they ramp up in 2017 to 2020 with most of
9 the plants.

10 And so we are in the final stages. We've been --
11 the rules have been out there for about five years. And now
12 it's time for them to come in -- come into compliance which
13 potentially has a big impact on reliability. And it's
14 important for us to understand where things are as we move
15 forward.

16 Thank you all very much.

17 MS. RAITT: So our first speaker is Mike Jaske.

18 (Colloquy)

19 MR. JASKE: Good morning, Mike Jaske, Energy
20 Commission Staff. Thank you for those comments. I will try
21 to abbreviate my slide presentation here in the interest of
22 getting us on time so that we can focus on the more
23 technical presentations of the rest of this morning's panel.

24 So really the principle thing to say on this slide
25 that hasn't already been said is that we're really

1 anticipating, as Mr. Bishop said just a minute ago, that we
2 would be having to deal with all of the same OTC retirements
3 in San Onofre's potential retirement, or however it is it
4 might have had to comply with OTC policy. It's just that
5 the San Onofre issue came so much sooner than expected and
6 sort of had, frankly, probably consequences that had never
7 been fully examined since we hadn't had those two units down
8 perhaps ever since their initial start date.

9 An important dimension of what you're going to
10 hear today is that this is an ongoing project that sort of
11 extends beyond the normal proceedings of all of the affected
12 agencies listed agencies listed at the bottom of this slide,
13 Energy Commission, PUC, ISO and ARB. Those technical staffs
14 of those agencies, plus the assistance of the utilities and
15 the air districts, put together that preliminary plan back
16 in the last summer of 2013 and had that IEPR Workshop in
17 September of 2013. That preliminary plan was never turned
18 into a final plan, but the essence of that plan has been
19 carried on since then through the collaborative efforts of
20 the staff of the agencies. And these periodic workshops, as
21 Mr. Florio said, are a way of apprising you of all -- all of
22 you, as well as the public, about the status or any issues.

23 This slide, of course, is just in your package to
24 give a little location for facilities if we end up talking
25 about individual facilities here today. We're only talking

1 about L.A. Basin and San Diego as the area directly affected
2 by SONGS. The Ventura Big Creek area up there with Mandalay
3 and Ormond Beach is not electrically connected in a way that
4 is affected by the SONGS outage.

5 So the essence of this slide really is that all of
6 the agencies are pursuing sort of their natural activities.
7 But in addition, we have this whole contingency mitigation
8 effort that cuts across the agencies in which we're working
9 on in a collaborative manner. And we'll get into a lot of
10 these details about that aspect of where things are in the
11 presentations this afternoon, both where we are to date and
12 some of the remaining issues yet to be overcome.

13 I think the first bullet, you know, can be
14 exemplified in the example of the synchronous condensers
15 that the ISO approved to be located across the freeway from
16 the SONGS site. That land was controlled by the military.
17 They chose not to allow that to happen. So that
18 synchronous -- that pair of synchronous condensers was split
19 into two, one located on the SONGS plant site itself, and
20 one, I believe, up at Santiago. So that's an example of
21 where, you know, within a category of activities, you know,
22 there was a workaround that was found that is functional.
23 And that may well be the case in other areas, if we observe
24 that we're having shortfalls and we can find substitute
25 programs within preferred resources, for example.

1 But where that's not feasible, where the shortfall
2 may be something more significant, we're working on
3 developing these mitigation measures, either OTC compliance
4 date deferral or actually authorizing, permitting and
5 getting operational a new gas-fired project. And how to go
6 about that will be the focus of this afternoon.

7 And again, this slide will -- you'll hear me talk
8 for probably half-an-hour on the this subject this
9 afternoon, so I will just pass it by.

10 So today, as several folks on the dais have said,
11 we're trying to understand progress to date, trying to
12 assess where we are. We're going to be talking about these
13 mitigation options, understanding where we are in that
14 process. We're certainly going to absorb the input we have
15 heard by the end of the day today, continue our monitoring,
16 of course, and then at some point report to the energy
17 principals about whether developing these more complex
18 mitigation measures if the appropriate next step. Thank you
19 very much.

20 MS. RAITT: Thanks, Mike.

21 Next is Michele Kito.

22 COMMISSIONER BERBERICH: Heather, if I might --

23 MS. RAITT: Oh, I'm sorry.

24 COMMISSIONER BERBERICH: No, no. Go ahead,
25 Michele.

1 I just wanted -- some terms were used, synchronous
2 condensers as an example. Many in the room, I know, know
3 what synchronous condensers are. But just for clarity's
4 sake, they provide voltage support. And as you need more
5 power from outside the area into the area you get voltage
6 sag and synchronous condensers help prop up that voltage.
7 That's why they're important. San Onofre used to provide
8 that voltage support. So we're going about replacing some
9 of the things. You'll hear more about that from Tom
10 Doughty. But just to make sure everybody is on the same
11 page.

12 MS. RAITT: Go ahead.

13 MS. KITO: First, I just want to thank the CEC for
14 hosting this and for inviting Energy Division Staff. My
15 name is Michele Kito and I'm the Supervisor of the Resource
16 Adequacy and Procurement Oversight Section. I'm just going
17 to talk about our authorizations that went out, and then
18 also the status to date. So most of you are already
19 familiar with this, so I won't take too long.

20 Next slide please. Oh, I can do it here? Oh,
21 thanks. Okay.

22 The reason we have this slide up is the long-term
23 procurement plan process is where we do our authorizations
24 for new resources. The LTPP looks ten years forward and
25 looks at system and local reliability needs. It also

1 considers alternative futures, so they'll have different
2 renewable portfolios, different transmission scenarios, and
3 also different demand and supply.

4 So the reason we're looking at 2012 LTPP is
5 because this is where the major authorizations came from.
6 So the -- there were two decision that came out of the LTPP.
7 The Track 1 decision was primarily addressing the retirement
8 of the OTC unit. So that was focused just on what we need
9 to replace the OTC. During that process the -- we had the
10 premature retirement of SONGS. And hence, we did the Track
11 4 of the LTPP, and that looked at any additional
12 authorizations that we needed to meet the local capacity
13 needs stemming from the retirement of SONGS.

14 So this slide is just to say that not all
15 resources meet all of our needs. So we obviously are
16 concerned about reliability, as well as state policy
17 objectives. And I would also add to that, repair costs.

18 So some resources are GHG-free. Some resources
19 provide more reliability. But it probably takes a mix of
20 resources to meet all of our needs and objectives. I would
21 just add that this slide is only illustrative. It's not
22 definitive. I've already gotten two calls to say that I
23 should change these a little bit. But just consider it
24 illustrative.

25 So this is the Edison authorization that came out

1 of the two decisions. The first -- well, actually, I'll
2 just go to the -- the bottom line. So the bottom line,
3 basically, is that we've authorized between 1,900 and 2,500
4 megawatts for the L.A. Basin. And I won't go through all of
5 these but there are various different categories, so
6 preferred resources, storage, gas-fired generation, and then
7 there's additional from any source and additional from
8 preferred. And you guys probably have seen this before.

9 So these are the SDG&E authorizations. So Pio
10 Pico was actually authorized out of a different decision,
11 but we're just going to put this here for completeness. In
12 addition, the Track 4 decision authorized between 500 and
13 800 megawatts for a total of 800 to 1,100 megawatts.

14 So with regard to implementation progress, Edison
15 submitted an application for 1,882 megawatts last November
16 for the West L.A. Basin. And this is just an overview of
17 the selected offers. So there were 20 contracts for energy
18 efficiency, 7 for demand response, 4 for renewables, there
19 were a number for energy storage. And I would just say that
20 there are two kinds of energy storage in that figure. So
21 there's 100 megawatts that's in front of the meter, and 164
22 megawatts of storage that's behind the meter. So for a
23 total authorization, again, of 1,882 megawatts.

24 So with regard to the status of that, the hearings
25 are complete. Briefs have been submitted. And the PB

1 (phonetic) is expected, and this is per the scoping ruling,
2 90 days after the submission of the case, which I understand
3 to be the date of the reply briefs which was the beginning
4 of July. So that would put it around the beginning of
5 October.

6 So with regard to SDG&E, Pio Pico has been
7 approved, and it's my understanding that it's under
8 construction. The Carlsbad Energy Center was approved
9 earlier this summer. There are six applications for
10 rehearing pending at the Commission. In addition, SDG&E has
11 an all-source RFO that was issued in 2014. And they are --
12 well, it says where they are. And it's our understanding
13 that the application would come in for consideration in the
14 first quarter of 2016.

15 So I just wanted to mention contingency contracts
16 because that comes up some. The Track 4 decision did allow
17 the utilities to come in with contingency contracts but it
18 did put some provisions on that, namely that they had to
19 answer a number of questions. And I'll just leave it at
20 that.

21 But I guess I would note that the staff would say
22 that we are still in the process of examining the
23 applications and authorizing the resources. And even with
24 that the utilities at Edison and SDG&E have additional
25 procurement that still could be done. So Edison will need

1 to procure an additional 100 megawatts of preferred
2 resources to meet their minimum authorization. And with
3 that they still have 518 megawatts, and I put the 400
4 preferred in the remainder from any other source. So they
5 still have the authorization pending.

6 SDG&E has approval for the 500 megawatts at
7 Carlsbad, but it has additional authorization for 300
8 megawatts, 200 of which is a minimum for storage and
9 preferred resources, and that's 175 for the preferred and 25
10 megawatts for the storage.

11 So with that, I'll be happy to answer any
12 questions. No? Okay. All right. Thanks.

13 MS. RAITT: Thanks, Michele.

14 MS. KITO: Sure.

15 MS. RAITT: Next is --

16 CHAIR WEISENMILLER: Can you hang on one second?

17 MS. KITO: Sure.

18 CHAIR WEISENMILLER: The question I have is the
19 other part of the preferred resources is sort of the
20 underlying energy efficiency programs?

21 MS. KITO: Right.

22 CHAIR WEISENMILLER: And I just wanted to get a
23 sense from you of how the underlying energy efficiency
24 programs, what their status was for Edison and San Diego.

25 MS. KITO: So you mean in the LTPP we assumed

1 additional achievable energy efficiency.

2 CHAIR WEISENMILLER: Exactly.

3 MS. KITO: And so are we on track to do that?

4 That is a difficult question.

5 So on the one hand, when you do measurement and
6 evaluation it's possible that we're not showing as much as
7 forecasted. On the other hand, I would -- I think it sort
8 of gets wrapped into load forecasts, which I think are
9 moderating.

10 So I would say in some sense, maybe not as much as
11 we thought. But on the other hand, it's not looking as bad
12 as it could be. So I think loads seem to be moderating.

13 CHAIR WEISENMILLER: Thanks.

14 MS. KITO: Sure.

15 MS. RAITT: Okay. Next is Jim Avery from San
16 Diego Gas and Electric.

17 MR. AVERY: Good morning, and thank you for the
18 opportunity to come once again and talk about what's
19 happening in San Diego, and what our weather forecast looks
20 like and what does this mean for our reason for reliability.

21 It's kind of been an interesting year, just to
22 start out before I jump into my slides. We have not broken
23 4,000 megawatts yet. Today we're trending -- our forecast
24 was -- our forecast is still for about 38 to 65 megawatts on
25 the system and we're trending almost 200 megawatts below

1 that. Temperatures in our coastal regions are running in
2 the mid-°80s, and evening temperatures still running down
3 about 70 degrees.

4 Inland temperatures are really one of the big
5 trigger marks for us. Inland temperatures are running right
6 about 90 degrees, but the evening temperatures are running
7 in the mid to low °60s still. And for us, in order for us
8 to get into peak load conditions we have to have our average
9 temperatures in the region really get closer to about 85
10 degrees. And once they get to 85 degrees we break the 4,000
11 megawatt mark. And then for almost every degree above that
12 we go up about 100 megawatts, somewhere between 70 and 100
13 depending upon how many days into that heat cycle we are in.

14 So even with the hot temperatures we've had over
15 the last three to four days, with the evening temperatures
16 still trending relatively light our temperatures and our
17 loads are still moderate to low at this time of year. For
18 us the time that I usually worry is -- the first week of
19 September is typically the time that I worry the most
20 because by then people are getting tired of the heat and the
21 response in our region is not as robust has been earlier in
22 the year.

23 You've already heard the numbers with respect to
24 the procurement targets that we've been running for the
25 region and the authorized level that we have.

1 With respect to the question as to the uncommitted
2 energy efficiency that you just asked, there's another 300-
3 plus megawatts of energy efficiency that is assumed in the
4 forecast. I don't -- it's too early to suggest how we
5 will -- or what those numbers will actually end up being and
6 what we'll secure. But it is above and beyond the figures
7 that you heard earlier.

8 Did you hear already the forecast for our
9 solicitation. We issued it in September of '14. We
10 received bids back in 2015, and we short-listed in the June
11 time period. And we'll be having contracts finalized later
12 this year, early next year for submission into the
13 Commission.

14 You've already heard about what's the status with
15 respect to Carlsbad. It is still scheduled to be online by
16 the November 2017 time period. And Steve Berberich has
17 promised me that once that is online, and he has a good
18 indication it will be online, he'll allow Encina to be
19 retired.

20 For us, really the secret sauce has been the
21 Sunrise Power Link. I remember when we were pursuing this
22 project we talked about how long it would take to fill the
23 Sunrise Power Link. It ended up coming online in the 2012
24 time period. And within just a matter of -- well, just a
25 couple of shorts years it has essentially has delivered

1 all -- upon all of its promises. We are delivering well
2 over 1,000 megawatts of clean renewable power across the
3 Sunrise Power Link.

4 And I am very proud to say I don't believe there's
5 been a single application filed at the ISO to take advantage
6 of the capacity that's made available by Sunrise Power Link
7 to be anything but renewable in nature. And it's something
8 that a lot of people had asked us to promise. And as
9 everyone knows, a utility can't promise what other people
10 will do. But it is delivering upon all of the expectations.
11 And it has really been the primary reason that we haven't
12 had a lot of problems in the San Diego region over the last
13 couple of years.

14 I'm also proud to say we've exceeded 33 percent
15 renewable for SDG&E's total portfolio. And we still have
16 several projects that are slated to come on later this year,
17 so those numbers will continue to climb through the end of
18 this year and into next year.

19 And as for what is in store for RPS going forward,
20 there's a lot of discussions going on in the legislature and
21 throughout the state as to what the future should be for RPS
22 in California. I can say that we're five years ahead of
23 schedule, primarily because as we saw the falloff for things
24 such as San Onofre, and as well as we saw the opportunities
25 to take advantage of the capacity that's been made available

1 by Sunrise, we did capitalize on that. And we've been able
2 to promote getting a lot of projects online expeditiously as
3 we possibly could to take advantage of utilizing energy from
4 clean resources to replace energy that was lost from a
5 nuclear facility.

6 I do want to touch on one quick thing. This is
7 something that we're working very heavily on in the San
8 Diego region. We have now had, I believe it's eight
9 consecutive years where we've received the ReliabilityOne
10 award for being the most reliable utility in the western
11 states. And that doesn't mean that every single one of our
12 customers received the same level of reliability. It means
13 that as a composite the entire system is posting numbers
14 that demonstrate all of the things we've done to ensure
15 reliability.

16 But outskirts of our area, and Borrego Springs is
17 one of them, if you look on the map, it's the extreme end of
18 our system electrically. I think the number is roughly 70
19 miles-plus of transmission to get out to Borrego Springs,
20 and low voltage, 69 kV transmission to get out into that
21 region. And it's a region that is susceptible to hailstorms
22 and fires and windstorms. And just all kinds of incidents
23 can take out customers for extended periods of time, so much
24 so that it was not uncommon that a windstorm or an ice storm
25 a fire could take out service into the Borrego region for

1 hours on end, and at times for days on end.

2 And the Micro Grid Project that we put forth in
3 the Borrego Springs area is one that through the initial
4 phases of that we saw an immediate reduction of the amount
5 of time it took to return service to that region. And with
6 the additional grants that we've received from the CEC, as
7 well as from the DOE, we have expanded that micro grid. So
8 now we have actually covered incidents where we have had
9 times when outages -- or power would have been out for nine
10 to ten hours, yet customers saw less than 40 seconds of
11 outage. And the phases that we've implemented since then
12 would remove any form of outage to some customers in that
13 region, just because the micro grid instantaneously returns
14 or covers service.

15 And we have had that period where, again, just a
16 few short months ago we had a period where we would have had
17 a period where we would have had a nine to ten hour outage,
18 we were able to serve the entire region of Borrego Springs
19 for that time period with 100 percent of the energy coming
20 from renewable resources.

21 And with that I just have a short video on this,
22 if I can figure out how to do that, if you will indulge me.
23 And my guess is we probably turned the sound off, so we
24 don't even have a video anymore.

25 COMMISSIONER MCALLISTER: They can probably hear

1 it on WebEx.

2 CHAIR WEISENMILLER: You can narrate it.
3 Beautiful Borrego Springs.

4 MR. AVERY: This is Borrego Springs. I'll tell
5 you what, I'll send this over to everyone. It essentially
6 captures the intent of the Borrego Springs Micro Grid
7 Project, the successes we've had and the things that lie
8 ahead for us in the area, do further automation, integrate.
9 And this is something where it integrates a large-scale
10 utility-scale solar project with rooftop solar, with large-
11 scale utility-scale energy storage projects with distributed
12 energy storage projects and manages all of that to serve the
13 entire region when there are any forms of disturbances on
14 the system.

15 So with that I'll turn it over and see if there
16 are any questions. I hope you enjoyed the video.

17 CHAIR WEISENMILLER: Yeah. A couple. I assume
18 I'll see the video when we meet with the Mexican officials
19 on Wednesday.

20 MR. AVERY: You will get an opportunity to see it.
21 I'm going to show this everywhere, I'm sorry. You're going
22 to get terribly tired of this video.

23 CHAIR WEISENMILLER: So a couple questions. One
24 was on your RFO. Roughly what was the ratio between bids
25 versus what you asked or what you need?

1 MR. AVERY: That's kind of a trick question
2 because when we receive bids we quite often receive multiple
3 bids for the same product in different formats or different
4 structures. So if you look at the total number of bids and
5 the total number of megawatts, it's many multiples of what
6 conceivably could have come out of that process.

7 Essentially what we looked at is, when we did the
8 evaluation on the overall solicitation, we looked at what
9 would be the impact on our system, the least-cost, best fit
10 analysis, and made a determination as to how do all of those
11 projects stack up against it. Would it be a negative impact
12 on rates? Would it be a beneficial impact on rates? And we
13 drew the line essentially across those projects that would
14 be beneficial to the grid.

15 We did receive a lot of projects, a lot of
16 proposals for projects. It was just stuff is not
17 economical. And what was really interesting, we received a
18 number of projects or bids on projects for technologies
19 where the bids were bidding something that the technology
20 doesn't have the capability to do, which another kind of a
21 problem that we've experienced.

22 I don't know the exact number of bids that have
23 made it onto the short list. We are still doing some
24 refining on some of the proposals that have come in to make
25 sure that we fully understand what they are, to make sure

1 that we didn't lose any opportunities out of this.

2 I would caution and say we're not going to select
3 the full number of 300 megawatts out of this process. It
4 will be something less than that. But the opportunities to
5 pursue this in subsequent years I think will give us better
6 understanding of what the potential is. But I'm cautiously
7 optimistic that we can meet all of the requirements for
8 preferred resources, or perhaps even far more in the
9 preferred resource category than what we had originally
10 anticipated.

11 CHAIR WEISENMILLER: Yeah. Obviously, I was trying to
12 get the notion of how robust or at least were viable bids?

13 MR. AVERY: Very promising, I think is probably
14 the best way to put it. I was concerned when we sent out
15 the solicitation that we would receive a number of bids
16 for -- or the number of bids that we'd receive would suggest
17 there wasn't a competitive market at this stage. We've
18 received a very robust response to this solicitation, and
19 that's been part of the reason why we haven't announced
20 where all the contracts are. Because once we go through the
21 process we identify a potential partner in the process. We
22 then go through the contractual stages in here. What we
23 find is that sometimes people bid things not necessarily
24 interpreting it the way we wanted it to be. So we have to
25 go through a little bit of a process to make sure that we

1 sign a contract and we both understand exactly what is being
2 provided in here.

3 And at the same token, we're depending on this for
4 reliability. So we want to make sure that the contract is
5 robust enough that we have a high level of assurance it's
6 going to move forward. We don't want -- if you remember
7 some of the early days of the PPAs that surfaced as a result
8 of the renewable quest that we were on, we had a number of
9 contract failures. And it was one thing when the contract
10 failure was something that was effecting the availability of
11 energy to meet an RPS goal. But when there's also capacity
12 sitting behind it, we have to be doubly sure that the
13 capacity is actually going to be there and that the resource
14 can perform as it is promised to perform.

15 We are entering a little bit of a new era here
16 today. This is not a situation where we're sitting with
17 technologies that are very well known and that they're very
18 reliable. To the extent that we have a gas turbine and the
19 gas turbine has a failed component, it's relatively easy to
20 get the replacement parts and get it back online, maybe not
21 the next day but within a short order.

22 But at the same token, as we start moving on to
23 just energy storage, as an example, energy storage is
24 something that we're still learning as we go through the
25 process. And as I said, we did have some bids that were

1 presented where people bid the technology to do something
2 that the technology does not have the capability to do. And
3 then other bids where they were overly conservative as to
4 what the technology has the capability to do.

5 And at the same token, we're acting -- we're
6 acting -- asking all of the suppliers to provide assurances
7 to us that if we're contracting for 10, 15 or 20 years that
8 the product will be there for the 10- to 15- to 30-year time
9 period.

10 So it's taking us a little bit longer to go
11 through that to make sure that we have contracts in place
12 that when we submit them to the Commission we're confident
13 that the -- that the contract has the capability to perform.

14 CHAIR WEISENMILLER: You know, obviously on the
15 best fit part, I mean, my impression is your -- the way your
16 system operates you may have a lot of solar flowing through.
17 So how are you -- how are you dealing with sort of over-gen
18 types of issues in the evaluation?

19 MR. AVERY: Well, I'll very quickly respond with
20 that's Mr. Berberich's problem more so than it is mine. But
21 you've raised a very interesting point, though. The Sunrise
22 Power Link provide a superhighway into the San Diego region
23 from the Imperial County. And if I look back to 2004, 2005,
24 before there was any of the new generation in the San Diego
25 region, San Diego was truly a net importer of power. The

1 flower -- the power flowed in from the north through
2 Southern California Edison, and with load-in from the east
3 from Arizona through the Southwest Power Link. With the
4 additional of Palomar we saw really a new paradigm where
5 there were a few hours of the year where power actually was
6 flowing out of us, flowing into Southern California Edison
7 out of system for a few hours out of the year.

8 Then with the addition of Cal Pine on the system,
9 and then with the addition of the Sunrise Power Link, I
10 would not be surprised that if I looked at our charts that
11 power was flowing through us 8,000 hours-plus a year,
12 flowing into Southern California Edison's system through San
13 Diego Gas and Electric's system.

14 So with more and more of that power being
15 intermittent in nature and that being out in the Imperial
16 County and into southwest portions of Arizona, and that
17 power flowing in through our system into San Diego, and then
18 wanting to find its way into Southern California Edison's
19 system, it's created some interesting challenges for our
20 transmission planners as to how do we accommodate that.

21 The ISO -- and I'm going to talk about this in the
22 next panel, has approved a number of projects to deal with
23 some of that in the form of reactive support to facilitate
24 the flow of energy into us and then out of us.

25 But also another thing to keep in mind is when you

1 think about San Diego, we peak when there is a Santa Ana
2 wind. While today and the last couple of days we've had
3 some warm temperatures, they really were not as a result of
4 strong Santa Ana winds coming into our region. And also
5 because of the Santa Ana winds coming into the region
6 forming the peak, for the most part that creates a situation
7 where the skies in the Imperial County are usually clear.
8 Now we may have some storm clouds that move over the
9 mountains in the late afternoon hours. But for the most
10 part there's a good correlation of the solar energy in the
11 Imperial County and in the southwest Arizona with the peaks
12 in San Diego. So we don't have quite the same situation
13 where we have peak load conditions and a lack of the solar
14 coming into the region.

15 But at the same token, our residential customers
16 peak at 8:00 p.m. Our commercial customers peak 1:00 to
17 2:00 p.m. And our residential customers have peaked at 8:00
18 p.m. for 20-plus years. It's not a new occurrence on our
19 system. But it creates an interesting dynamic where the
20 overall system peak, because we really don't have any
21 industry left in our region, our overall system peak occurs
22 between the 2:00 and 9:00 p.m. time periods. And if you
23 look at the correlation of the large-scale solar that has
24 tracking on it, it covers a good part of that window. How
25 it obviously doesn't cover the 8:00 to 9:00 p.m. or the 7:00

1 to 8:00 p.m. time period as well as I'd like it to. But
2 it -- it doesn't create some of the problems, I think, that
3 you might be anticipating.

4 And also you may remember -- now this is -- I'm
5 going to be treading carefully here because I'm talking
6 about some of the projects that are still up for, I guess,
7 consideration. But I can talk about the fact that we have
8 looked very carefully at every new fossil resource that we
9 have added to the system to assure that it was flexible in
10 nature and that it was not going to be another combined-
11 cycle plant being added into our system.

12 You may remember that there -- that there were a
13 number of applications that have been filed back in the
14 early 2000s to put more combined-cycle plants in our region.
15 And we have -- we have refused to pursue any of those
16 because we saw and identified this -- I think the ISO has
17 done a wonderful job of putting a name to it, the Duck
18 Chart. Well, Rob O'Brien -- Rob Anderson actually first
19 identified that situation in San Diego in 2007. And that
20 has led a lot of our procurement activities around the idea
21 of getting more peaker generation in the fossil nature so
22 that we could not have some of the same problems of having
23 to turn off generation in the middle of the day because of
24 the abundance of solar power.

25 Now having said that we still haven't seen it.

1 And until Encina is gone we're not going to have all the
2 flexibility that I think we need in our region. And that's
3 actually one of the biggest problems with the once-through
4 cooling plants is the lack of flexibility that they create
5 on the system.

6 CHAIR WEISENMILLER: So my -- if I recall
7 correctly, the PUC, when it -- when it approved the PPA for
8 Carlsbad, directed you to do a study by putting some sort of
9 clutch on it?

10 MR. AVERY: That was, yes, that was one of the
11 requests that was identified was the opportunity to put a
12 clutch on the facility so that the facility could also be
13 operated as a synchronous condenser. We did have
14 discussions with NRG, the developer of the facility. And as
15 you know, they submitted their applications for the
16 technology in a different fashion, just a conventional
17 peaker type of facility and not contemplating the air
18 emissions that would be associated with trying to operate
19 that as a synchronous condenser.

20 In addition to that, it is a highly constrained
21 region physically where they're building the facility. In
22 other words, they're trying to shoehorn it in between the
23 property that they have today and the railroad tracks and
24 the highway so that they could fit this into the facility.
25 And they came to the conclusion that they didn't have the

1 permits in place or the permits that were under -- filed to
2 contemplate the idea of changing the technology to include
3 the clutch, number one.

4 And then, number two, the physical room would not
5 have facilitated the installation of the clutch in their --
6 in their system.

7 Now, we do have -- and I'm going to talk about
8 this again on the next panel, a number of projects towards
9 putting synchronous condensers in the region. And in fact,
10 the first one of those went online on Friday at the Talega
11 Substation where two of those synchronous condensers were
12 turned over to the ISO for operation. And my guys report
13 that they have been doing a wonderful job just over the last
14 couple of days in helping to stabilize voltage on the system
15 to facilitate the flow of power through this.

16 COMMISSIONER FLORIO: We gave you a very tough
17 assignment with this all-source RFO, having to compare very
18 diverse resources with each other. How has that process
19 been for you? And do you feel like you've cracked that nut
20 or are there still some challenges to putting storage and
21 solar and demand-response on in the same measuring stick?

22 MR. AVERY: I actually think that was -- from an
23 optics perspective it's not an easy thing to explain.
24 Because as you think of a conventional gas turbine you quite
25 often think of it in terms of dollars per kilowatt year, and

1 then you think of the fuel source that goes into it. Well,
2 then when you try to compare it against a battery that has
3 degradation curves associated with it, that deals with
4 different forms of energy to store it, and you deal with the
5 amount of hours it can be operated, it is a challenge. But
6 I think it's one that we've been able to handle in looking
7 at all of the resources and essentially stack those
8 resources up, so regardless of whether it is energy
9 efficiency, demand response, energy storage, gas turbines,
10 we can put it all on a level playing field so you can see
11 side by side the benefits.

12 And that analysis looks at all factors. It looks
13 at, for example, energy storage, how many hours a day can be
14 dispatched, how many days over the year, if there are a
15 parameters for that changing season by season. At the same
16 token, gas turbines, that's an easy thing to look at. We've
17 been doing it for a long time. But we're also putting in
18 there, the analysis, energy efficiency, as well as demand
19 response, and putting all of the parameters in so we can
20 stack them up and look at them from a total cost basis.

21 I know we have a lot of people who wanted us to
22 immediately say, what was the cost of a battery? Well, I
23 can give it to you as the raw cost. But until you factor in
24 all the components it can be a very misleading number. And
25 I think it's important that we -- it was actually needed.

1 And I'm glad the Commission gave us the opportunity to take
2 the time and do that analysis. And it is something that we
3 do share all of that with our PRG and the independent
4 evaluators so that they can provide feedback and updates
5 through the process.

6 COMMISSIONER MCALLISTER: Thanks.

7 CHAIR WEISENMILLER: Thank you.

8 MS. RAITT: Thanks, Jim.

9 Our next speaker is Caroline McAndrews from
10 Southern California Edison.

11 MS. MCANDREWS: Good morning. Thank you for
12 inviting Southern California Edison here today to talk about
13 the Preferred Resources Pilot. We were not here last year.
14 We were in the formative stages of the pilot. And we
15 recently provided an update, a midyear status report which
16 on the lower left-hand side of the presentation you can go
17 to that link and get the status. I have a lot to say. I'll
18 try to do it quickly and succinctly. But again, there is
19 more information there, so don't feel compelled to try to
20 digest it all.

21 So we spoke about already the drivers of the
22 Preferred Resources Pilot, but I just want to highlight
23 maybe the region. We're pretty much smack dab in the middle
24 of the region right here at this conference. It's the
25 southern portion of Southern California Edison's territory,

1 covering Irvine, Laguna Beach, Laguna Hills, portions of
2 Costa Mesa, Tustin, Santa Ana. And the interesting part
3 about this region is that it's really growing, much like
4 different portions of our territory where perhaps the demand
5 is flat.

6 We have actually, and I'll show you through the
7 forecast that we've got over 300 megawatts of load growth
8 through the ten-year period, and the pilot is supposed to
9 run through 2022. So we're really addressing the drivers of
10 the peak. This is the commercial and industrial customers
11 between the hours of 10:00 and 6:00 p.m.

12 And one other thing I think that's key is that
13 this region is coastal. So unlike some of the areas where
14 solar might have a very large role here, we do see a role
15 for solar, however, we do have to balance the coastal
16 environment.

17 In terms of the phases, we are right now in the
18 demonstration and proof phase. I'll talk a little bit about
19 the -- some of the foundation that was done. There's also a
20 portion in the upper north -- northern portion of the
21 territory where we're really looking to accelerate the
22 deployment of preferred resources in this region. If we
23 acquire the greater than 300 megawatts of preferred
24 resources to serve the load, that would be about a quarter
25 of the load being served by these resources.

1 This is something that is different than maybe
2 some other areas. Again, it's about 1,600 megawatts when
3 we're done. That's quite a bit. We want to make sure that
4 we can integrate and optimize the use of those preferred
5 resources. So we're using some of the EPIC funds that we
6 have to really deploy advanced technology. And we're also
7 looking at what other types of requirements might we need in
8 order to manage that high penetration of -- you'll notice
9 distributed energy resources, which the DRP has coined that
10 term. And so you could almost call this a DER pilot, but we
11 were around before and we had Preferred Resources Pilot.

12 So going on to really what's driving us, we need
13 to make a determination of whether or not these preferred
14 resources can actually perform. And if they cannot perform
15 in a way that actually meets the reliability needed,
16 internally to SCE we addressed -- we identified a potential
17 transmission constraint down in this region. And so by
18 addressing the load growth in this region we feel that that
19 transmission constraint will be resolved.

20 So in order to address that issue, and if the
21 preferred resources cannot perform, we have to set ourselves
22 up on a timeframe. So the first milestone really looks to
23 see if we can acquire -- acquire, deploy and measure those
24 preferred resources within that first milestone through the
25 end of 2017 and make a decision in 2018 as to whether or not

1 gas-fired generation will be required.

2 And then once we have that determination, really
3 the next phase really goes to just sustainability, what
4 other additional processes might we need to establish in
5 order to fully meet the 2022 need. So the need is actually
6 out in 2022. Until then the area is -- has sufficient
7 resources to meet the customer needs.

8 So in the first phase, which is the way of the
9 foundation, we really did a local specific analysis to come
10 up with potential portfolios. Those portfolios then would
11 need to be filled in order to establish a pipeline. And so
12 we have an acquisition strategy. The acquisition strategy
13 really goes to, you know, how can we get these resources
14 quickly, what are we authorized for, and really leveraging
15 those types of capabilities that we have proven experience
16 with, and then to test out some new acquisition approaches.
17 So we also developed some grid-level measurements. That's
18 really collecting, again, the very local generation or
19 reductions that would be occurring as a result of preferred
20 resources.

21 In Phase 2, which is where we are right now, we're
22 continuing to build that pipeline. Some of you may have
23 seen that we announced that we are potentially going to
24 launch another 100 megawatts of an RFO for preferred
25 resources later this year. We had one out that was a PRP-

1 specific DG RFO, that all bids were due on July 10th. And
2 we're in the process of looking through those offers. And
3 then we've leveraged, obviously, some of the other
4 activities that Michele talked about, the LC RFO. That was
5 a very good feeder to at least our first milestone
6 determination.

7 We were also looking at really the localized grid.
8 Can we -- can those -- that localized grid adopt a higher
9 penetration of preferred resources? Can they adopt a higher
10 penetration of solar? We're looking at the effectiveness of
11 the mix, how do they perform in concert? And really looking
12 at their delivery capabilities.

13 And then as I spoke about before, the Phase 3 is
14 really the second -- the later part, after we make that
15 determination in 2018.

16 Looking at some of the foundational work, looking
17 at Johanna and Santiago Distribution Engineering (phonetic),
18 they do an excellent job of predicting the forecasts, what
19 do we need from a system perspective, forecasting that out
20 into the future, out into 2022. You can see in the upper
21 right-hand corner, somewhat in fine print is that additive
22 total of about 317 megawatts of need.

23 In terms of the peak months, that -- that peak in
24 June through September. And then it's not enough to know
25 what the peak is, but we really need to understand what are

1 the attributes of that need? So if we're trying to offset
2 the growth, that 300 megawatts over the existing 1,200 or
3 1,100-something megawatts, what does that growth look like
4 and what does -- what are the attributes? So what is the
5 daily megawatt need, the duration, hourly duration, and
6 annual frequency of that need?

7 So, for example, if our peak need was up at, well,
8 let's say over 80 -- if we've got 300 megawatts, if we have
9 a peak need of the top 20 megawatts being called 15 times a
10 year, DR, as it currently exists today, might not be the
11 most optimal product because customer fatigue might set in.
12 So we really have to look at what are those needs and how do
13 we balance the portfolio.

14 So one example of a portfolio is listed there in
15 the lower right-hand corner. And just building up from the
16 bottom we have energy efficiency. You'll notice that we
17 anticipate that we should be able to get over 50 megawatts
18 of energy efficiency. It looks like a flat delivery. This
19 is hours, by the way, so it's from the 10 o'clock hour to
20 the 1900, 7 o'clock in the evening hour. You'll look at
21 that, EE looks relatively flat. As time goes on and we
22 develop more measurement information, we will inform it by
23 the load shape for energy efficiency.

24 So if we've got energy efficiency reducing the
25 load, we've got demand response being called those few

1 times, as it turns out the number of times that we
2 anticipated to be called is about five to six times a year,
3 so demand response could/should serve as a viable resources,
4 we can offset the peak with that light blue, look at the
5 solar which is that red shape, you can see the red shape, it
6 offsets the load, and then energy storage filling in the
7 gaps. This is just one example.

8 Obviously, as we gather more information, as the
9 cost of energy storage comes down, as we increase the, know,
10 amount of solar that we're able to obtain, these numbers
11 may -- may be able to move.

12 So how are we doing? I'll just try to give you a
13 quick snapshot. This curve here, it's stilted because it
14 drops off from 2017 and goes up to 2022. We have 113
15 megawatts toward our current 316 megawatts' target. And why
16 is that current? Because each year we're doing an update to
17 that portfolio design report. And we find, as an example,
18 the first year we started this pilot the growth was about 20
19 megawatts, 28 megawatts for that year. The next year we did
20 it was 32 megawatts for the year. So load actually grew.

21 If you are familiar with this area at all, there
22 was this large marine base at Tustin, an air station there.
23 They're fully developing that out with lots of new homes,
24 lots of new businesses. So we -- that's where the growth is
25 coming from. Data centers are coming in here. So lots --

1 lots of growth. Right now it's at 32 megawatts per year.
2 We're in the process of updating our analysis again and
3 we'll -- we'll see how -- how it moves.

4 That's -- what's interesting about that is because
5 if we look at how much was actually deployed over that
6 period from an energy efficiency standpoint we had about
7 eight megawatts of what I'll say are the midstream and
8 downstream programs, which the midstream and downstream
9 programs, you know that they're coming into the region, so
10 they are trackable to the region. And with that we still
11 had that growth. So obviously key to that is we got to --
12 we got to look at what more can we do.

13 So looking at the first milestone, that's the 2017
14 timeframe, right now we have about 91 megawatts expected to
15 be deployed by the end of 2017. And you can see, I'm not
16 going to read that for you, the sources of where they're
17 coming from, again consistent with our acquisition strategy
18 which is really in the near term we are authorized through
19 our customer service program, through our DSM portfolio,
20 through the things that are coming through CSI to get these
21 resources deployed very quickly and see them in the system.
22 And that's where that 23 megawatts is coming from.

23 In addition, that 23 megawatts is also coming from
24 customers just adoption. They're adopting solar, so that's
25 driving the numbers up also.

1 And then we have the acquisitions which the LCR
2 RFO, we have some contracts coming online, energy
3 efficiency, in 2016 which, again, we're very excited about
4 that because we'll be able to then get some real good
5 measurements and see how is it really affecting the load in
6 this region.

7 COMMISSIONER BERBERICH: Caroline, could I ask you
8 a question quickly, actually two of them. I want to start
9 with the solar. How -- is that going to be larger or
10 distributed? Do you expect to put it at substations or is
11 rooftop solar? Can you describe what that might look like?

12 MS. MCANDREWS: Absolutely. So we have a real
13 challenge. We're talking urban area. And we're talking
14 about an area that's growing. And an area that's growing
15 means land is money. And business owners, business property
16 owners, they do not want to tie up their assets. So I will
17 tell you that we are challenged right now getting urban
18 solar in here. So we are serious about it and we did get
19 offers. And so we hope to communicate how serious we are.

20 It really is going to be things such as carports'
21 rooftop. There is not land really to develop solar.

22 COMMISSIONER BERBERICH: Okay. That was my
23 question.

24 MS. MCANDREWS: Uh-huh.

25 COMMISSIONER BERBERICH: On energy efficiency,

1 what kind of tactics do you plan to deploy to get that kind
2 of low energy efficiency?

3 MS. MCANDREWS: Okay. So first, energy
4 efficiency, obviously, is a good overall load modifier and
5 so we -- but it's very difficult to translate that into
6 something that we could use for distribution planning. So
7 we expect to just see that in a change in the load growth
8 from year over year.

9 We have identified, working with a couple of
10 vendors, a potential tactical use of energy efficiency where
11 certain types of customers, building types, energy
12 efficiency measures may be able to be deployed to defer
13 local distribution upgrades. And in that midyear report
14 there's an example that you can look at on how we hope to
15 use that. We could use that both tactically near term once
16 we develop some confidence level. But right now we're
17 looking at probably about five years to see how that -- how
18 that -- how that fleshes out.

19 COMMISSIONER MCALLISTER: Can I ask a follow-up
20 question on that?

21 So I'm interested in the methodologies you're
22 using for that. I mean, when you're -- when you have lots
23 of small loads and lots of small impacts, quantifying that
24 in terms -- and then comparing it to some of the larger
25 scale options, supply and demand is a challenge but I think

1 it's one we have to rise to. And I'm wondering sort of how
2 you're approaching the methodological issues there and how
3 you anticipate those informing then the forecasting work
4 that we do at the Commission that gets used across the land
5 in terms of quantifying that for AAEE purposes, but also for
6 other parts of the demand forecast?

7 MS. MCANDREWS: Okay. So I'll try to -- hopefully
8 I'll answer your question, and check me if I'm off.

9 What we really want to do is see both at the AMI
10 and at the substation level the impacts of this type of
11 tactical energy efficiency. And so while we know that if we
12 change out the HVAC we can put sub metering on and see that
13 it's actually operating more efficient. But behavior has
14 such a large impact on energy efficiency.

15 So what we're looking at is what are those
16 predictable types of loads that could actually show a net
17 difference. And to the degree that it informs that -- your
18 forecast, I'm not sure how we'll factor that in. But I will
19 tell you that we are really looking at the actual megawatt
20 saving that our distribution planning folks can use in their
21 planning process.

22 COMMISSIONER MCALLISTER: Okay. So thanks.

23 And then, sort of taking that one step further,
24 there's a lot of synergy between demand response and
25 efficiency. If you're going to change out equipment it

1 ought to be both efficient and manageable. So I just kind
2 of want to hear your reassurance that you're making sure
3 that your program designs reflect that, and your investments
4 in those targeted areas do look at all those opportunities
5 and synergies between them to harvest both the demand side,
6 you know, the capacity reductions and the energy efficiency,
7 potentially.

8 MS. MCANDREWS: Absolutely. We're -- we're
9 promoting and pushing the loading order. So, I mean,
10 energy -- in fact, some of the schools that we've been
11 engaged with, talking with about using some of the Prop 39
12 money, as an example, many of them have already done the
13 energy efficiency upgrades. We're trying to now see if they
14 can get them to the next level of demand response and solar.
15 And some of the schools are moving -- obviously, a lot of
16 the schools are moving in that direction.

17 COMMISSIONER MCALLISTER: Thank you.

18 MS. MCANDREWS: So going on to the deployment
19 page, what you see here is really progress being made,
20 largely through the DSM portfolio and the California Solar
21 Initiative, as well as the distribution generation solar
22 that's coming on through non-CSI.

23 What we see as a real challenge is demand
24 response, and mostly because there's been a lot of focus
25 down in the SONGS region over the last few years. So

1 there's a lot of saturation associated with
2 signing/enrolling additional customers.

3 The other part to that is that right now the way
4 the contract -- the program is designed, it doesn't have
5 that long horizon. And when we talk about the need in this
6 area, the need is in 2022. Well, our programs are year-
7 over-year kind of programs. So, you know, we need to think
8 about how do we get the persistence that we need in demand
9 response. And that's where the LCR contracts really are
10 beneficial because we do have those kinds of -- that kind of
11 persistence.

12 In terms of measurement, clearly this is not the
13 endpoint. This is actually -- if you look at this curve,
14 September 16th last year was our peak day. And while we
15 anticipate that in 2022 the demand is going to be
16 significantly higher, this is an illustration of how we have
17 measured performance.

18 So the blue is the load. I would say but for --
19 but for the preferred resources, the load would have been up
20 at that dotted line. And so just dissecting it, we've got
21 solar offsetting it, demand response by the various programs
22 which happened to have been called on that day, and then we
23 have this dotted line which is the energy efficiency. And
24 again, this is the one where we don't have the technical AMI
25 data to prove out that dotted line, so that's why we made it

1 a dotted line. And really that's focusing on the midstream
2 and downstream programs.

3 COMMISSIONER BERBERICH: Caroline, if I might, and
4 just for the benefit of everyone, I want to give hats --
5 hats off to Edison. They have introduced quite a bit of
6 demand response in the last 12 months into the ISO markets,
7 and they've been very helpful this summer. And we truly
8 appreciate that and the efforts that you've done. It's --
9 it's been -- gone a long way to help, which is what we're
10 talking about today, to the reliability efforts. So thank
11 you for that. And we look forward to continuing to grow
12 that.

13 MS. MCANDREWS: You're welcome. And, yes, we are
14 looking forward to continue growing that also, particularly
15 the BPI customers -- the BIP customers.

16 Moving on to maybe sort of the summary here, we're
17 really looking to improve the commercial property owners, as
18 well as the institutional customers, because they really can
19 contribute quite a bit in this region increasing their solar
20 and demand response participation. We're also looking just
21 beyond some of the -- some of the barriers that exist. So
22 we know that we have a lot of lease buildings. We have a
23 lot of owners who don't necessarily have access to the
24 accounts.

25 So customers, the tenants, as an example, tenants

1 aren't necessarily in -- they're in control of their
2 electric bill, but they're not in control of their building.
3 And so what we've done is actually partnered with a local
4 commercial building owner down in this region. We're
5 testing out right now a way in which the owner can directly
6 apply for incentives for energy efficiency upgrades. As we
7 gained -- gain knowledge in this area we're going to broaden
8 that out, both to the PRP area and as we can process -- make
9 it more of a process, out to the larger SCE territory and,
10 obviously, sharing it with our -- our peer utilities.

11 We're looking at what do we need to do in order to
12 reinforce the grid. And looking at the local reliability
13 products also. This is really key because sometimes --
14 sometimes the system needs don't always match the local
15 needs, and that's really a challenge. So, for example, you
16 talk about the Duck Curve. In the PRP region we have about
17 three percent or less of solar. We don't have a Duck Curve.
18 If -- from a pricing standpoint it becomes cost effective to
19 charge energy storage during that timeframe. It really
20 exacerbates the problem down locally for us. So we really
21 need to think about how -- Edison is thinking about how do
22 we really optimize these resources so that they can really
23 serve our customers the best.

24 And then obviously as we collect this measurement
25 information we want to really work on improving our grid

1 planning purposes to -- process to take advantage of these
2 distributed energy resources.

3 With that I'll hold for questions.

4 CHAIR WEISENMILLER: Thanks. I had just a couple
5 questions.

6 First, the general question is: Having gone
7 through what you've gone through so far, what would be your
8 advice for like Jim Avery as they start going into this
9 area?

10 MS. MCANDREWS: Okay.

11 MR. AVERY: Careful.

12 MS. MCANDREWS: You know, when we started we got a
13 lot of input. And there was this -- this idea almost of,
14 you know, shot-gunning out trying things. And we really
15 resisted and tried to be methodical and thoughtful about
16 what we were acquiring, how we were using it. And I don't
17 know if he needs this advice because I think he's probably
18 doing this, but that is exactly how -- I'm glad that we did
19 that, that we didn't try every idea that came up.

20 CHAIR WEISENMILLER: Yeah. So soon to be chair,
21 channeling Mary Nichols' question, and that is whether
22 you've looked at fuel cells as part of the preferred
23 package?

24 MS. MCANDREWS: So we have. Fuel cells aren't
25 quite as clean as the resources that we're talking about.

1 And right now Edison would like to focus on the resources
2 that we've discussed, energy efficiency, demand response,
3 energy storage and DG solar. If it comes down in the future
4 where we can't establish that pipeline, we will then have to
5 reconsider the use of fuel cells. But we don't feel we're
6 at that point just yet.

7 CHAIR WEISENMILLER: And my last question, and one
8 is, which we are often asked by the legislature, is where
9 our programs are helping the disadvantaged communities,
10 particularly coming out of the CalEPA model. So I don't --
11 so in terms of just trying understand that component, too,
12 in your activities.

13 MS. MCANDREWS: So there are about 6,000 or so
14 customers within our -- this region that fall into that low
15 income ESA type portfolio. And as an example, on Friday at
16 was at the OC Community Forum talking about the -- talking
17 about the Preferred Resources Pilot to the stakeholders that
18 outreach to those groups. So we are clearly reaching out to
19 them and really trying to engage everyone. They have
20 opportunities to get free appliances, energy audits, all
21 kinds of things. And, yes, everything counts.

22 CHAIR WEISENMILLER: Okay. Very good.

23 COMMISSIONER MCALLISTER: Mr. Wallerstein?

24 COMMISSIONER WALLERSTEIN: So from an air
25 pollution perspective, it just seems to me that we're maybe

1 going a bit slow on energy storage. And I've had a major
2 power producer come in and speak with me and tell me their
3 ready to go in a cost effective manner to a greater extent
4 than we're pursuing.

5 And so when I listened to Jim's presentation and
6 what they're beginning to do with energy storage on a micro
7 grid scale, and the ability to expand our renewable
8 generation, and in fact, the governor establishing in his
9 State of the State Address, a higher target, I'm wondering
10 why so low on energy storage?

11 MS. MCANDREWS: So currently the energy storage
12 numbers that are reflected here came out of that first --
13 very first acquisition a year ago when the contracts were
14 due.

15 As I said earlier, we recently announced 100
16 megawatts that we would be likely pursuing later this year,
17 of which energy storage and energy storage paired with solar
18 are products that we are interested in acquiring. So it's
19 low now, but we don't anticipate it to be low that much
20 longer.

21 COMMISSIONER WALLERSTEIN: Just -- I just -- you
22 consider 100 megawatts energy storage --

23 MS. MCANDREWS: So --

24 COMMISSIONER WALLERSTEIN: -- to be a large --
25 large amount?

1 MS. MCANDREWS: I'm only speaking from the
2 standpoint of the Preferred Resource Pilot acquisition
3 needs, not more broadly from an SCE perspective. So our
4 need is 300 megawatts. And if it were -- if it were just in
5 the PRP area, actually 100 megawatts of energy storage would
6 be quite a bit.

7 So more broadly, I know that we had one
8 solicitation out for energy storage, and it's not going to
9 be the last. So again, Edison continues to pursue and look
10 for the right cost for energy storage.

11 COMMISSIONER WALLERSTEIN: I just want us all to
12 be mindful that if the fallback position is peaking
13 turbines, that those are going to be hard to locate and
14 permit in the South Coast in all likelihood.

15 MS. MCANDREWS: I couldn't agree with you more.
16 That's why we have the pilot.

17 COMMISSIONER WALLERSTEIN: Yes.

18 MS. MCANDREWS: Thank you.

19 MS. RAITT: Thanks, Caroline.

20 Next we'll move on to Transmission. And be
21 hearing from Tom Doughty from the California ISO.

22 (Colloquy)

23 MR. DOUGHTY: Good morning, everybody. I'm Tom
24 Doughty with the California ISO.

25 As I was getting ready to put my remarks together

1 someone in our industry said to me an interesting statement.

2 They said, "SONGS and OTC, aren't we done solving that?"

3 It was a fascinating question.

4 And my answer was, "We're getting there. We are
5 getting there. And we're on a really good trajectory. And
6 what I want to focus on here today is the path that we've
7 taken. And Mike mentioned it, Michele, others, a tremendous
8 amount of collaboration has taken place over the last couple
9 of years, really unprecedented in, I think, in our -- in our
10 industries recent experience. The loss of SONGS, combined
11 with the impact of the OTC plant reductions or retirements
12 or closings has been -- or repowerings has been nothing less
13 than phenomenal.

14 And I thought I'd start by just bringing up a
15 graphic that's been used before. But it's important to
16 frame our conversation. A grid operator has basically three
17 things to do: We need to provide real power, power that
18 powers appliances and industry; we need to provide reactive
19 power, power that strengthens voltages and allows us to
20 import; and we've got to be ready to respond in the
21 circumstances of system contingencies.

22 So with that in mind, we got together with these
23 agencies and deployed a series of immediate solutions to get
24 after the problem at hand. Now these have been covered in a
25 past IEPR discussion so I'm not going to dwell on them. But

1 suffice it to say, these solutions are in place now and
2 they're providing access to renewable generation, like Jim
3 mentioned, for Sunrise Power Link. They're providing
4 voltage support in the case of both Huntington Beach 3 and 4
5 and voltage support equipment that's been installed in three
6 Orange County locations. They're delivering energy to the
7 L.A. Basin in reference to the 560 megawatt El Segundo
8 Energy Center. And they're mitigating the risk of thermal
9 loading under high load and contingency scenarios in the
10 case of Barry Ellis (phonetic).

11 These hardware solutions have also been
12 complimented by other solutions that make a big difference.
13 Flex Alerts, they've been an effective resource for us in
14 motivating customers to reduce load during times of system
15 duress. And they continue to be funded through 2015.
16 Demand response, interruptible load programs, other consumer
17 based efforts that reduce end-user consumption in response
18 to high prices, environmental conditions or a reliability
19 issue.

20 DR plays two really important roles for us, one,
21 in offsetting the need for more generation and, two, as we
22 know, providing system operators with the flexibility they
23 need in managing the system during periods of difficulty or
24 limited supply.

25 Steve and Caroline mentioned earlier about working

1 with our customers to expand DR. And we're doing a lot of
2 work now to attract additional DR into our market, but also
3 to improve the way that we dispatch it.

4 And then finally, we're working with our existing
5 fleet, maintaining close communications with our operators
6 and owners to ensure the fleet is, if you will, well-oiled
7 and ready to go for when summer peak loads like today
8 arrive.

9 So OTC, another big challenge that got dropped on
10 us, one that we are tackling with vigor. From a megawatts
11 standpoint it's much bigger than the SONGS departure. SONGS
12 2,250 or thereabouts, OTC 5,400, you add that up, that's
13 about 7,600 megawatts of impacted capacity in the Southern
14 California region. And when you draw your eyes to that
15 coastline from El Segundo to the north, on down to Redondo,
16 Alamitos, Huntington Beach, SONGS, Encina, those are the
17 plants that are effected. Of course, SONGS now with the
18 black dot, now that it's retired.

19 The green dots on the graphic indicate plants that
20 have moved into a repowering stage, either as a full or
21 partial capacity replacement to the -- to that that existed
22 nearby. Encina, for example, there is a good example. At
23 its original size, 965 megawatts, it's being replaced by the
24 Carlsbad project at 500.

25 Now there's -- there's a thankfulness to this.

1 There's an opportunity here. The plan for managing OTC
2 retirements is unlike SONGS. It wasn't an immediate issue
3 that dropped on our lap. But given the magnitude of these
4 megawatts and the size of this impact, we can't really
5 overestimate this -- the scope of this challenge. We're
6 continuing to track these new resources as they come online,
7 monitoring plans replacing those that have yet to be
8 replaced.

9 This message is probably a good example or a good
10 segue to this graphic on our 2014-15 Transmission Plan which
11 was just published. I'm going to try to hit these points as
12 Michele touched on them earlier. We heard earlier that the
13 PUC has authorized somewhere in the order of 3,600 megawatts
14 for Edison and San Diego. If you subtract the total
15 authorized resources from those anticipated to be coming in
16 the next couple years you get about 600 megawatts -- and,
17 Michele, I'll watch your head to nod, I'm hoping I'm the
18 same numbers as you are -- of megawatts needing to be
19 secured. And that's an important element in the tracking
20 program that we've put in place.

21 The greatest interest to the group is tracking
22 resources that are to be deployed or need to be deployed in
23 the West L.A. Basin. And, of course, energy efficiency that
24 needs to materialize. If either of these don't, as Michele
25 indicated, we'll have to rely on additional procurement up

1 to the authorized amount, of course, and or repurpose some
2 existing DR to respond more quickly under a contingency
3 situation.

4 The upshot of this graphic is we're carefully
5 tracking this. And within the ISO's transmission planning
6 process we're conducting additional LCR studies for the
7 years 2021 when OTC plants are to be retired or repowered,
8 and 2025, which is the end of our current ten-year planning
9 cycle. These studies are going to help inform whether
10 existing procurement and upcoming procurement us adequate
11 for the intermediate and long-term planning horizons.

12 That takes me to my final graphic. And this sets
13 the stage for where does this go from here? When I began I
14 noted that this is not old news. This is going on now.
15 Draw your attention to the yellow circles or lines there,
16 and those are indicative of the projects that are under
17 development now. Jim mentioned just last week SDG&E
18 completed work on the Talega synchronous condensers. Just
19 below the black dot is SONGS there. Great to see those
20 online.

21 In January 2016 we intend to renew the contracts
22 at Huntington Beach for the synchronous condensers. Now
23 those will fall offline once a set of voltage support,
24 transmission and generation projects are completed.

25 Between June 2017 and June 2018 voltage support

1 projects are going to be completed at San Luis Rey, Miguel,
2 the SONGS site, and Santiago.

3 So now complimenting those voltage support
4 projects are a series of additional transmission projects,
5 Sycamore-Penasquitos is a 230 kV line scheduled for June
6 2017. The Imperial Valley Phase Shifter, June 2017. And
7 the Mesa 500 kV Loop-In, there you can see it kind of the
8 upper left.

9 For each of the projects that I've talked about
10 today the agencies are tracking six milestones, from
11 authorization to in-service. We meet biweekly. We talk
12 more frequently than that just to make sure we've got great
13 progress against the plans.

14 So I'll close with this, from the ISO's vantage
15 point we don't see issues that cause an immediate alarm.
16 But we continue to track closely every single project until
17 it's completed. As Mike said, we're reporting to the energy
18 principals.

19 I think it's a monthly, is that when we send,
20 Mike?

21 So this really is a moment to acknowledge the work
22 that's been done. It's a tremendous collaborative effort.
23 But also to redouble that our diligence needs to continue
24 until the final project is complete.

25 Thank you.

1 CHAIR WEISENMILLER: So, yeah, I just wanted to
2 follow up on Flex Alert status.

3 MR. DOUGHTY: Yes.

4 CHAIR WEISENMILLER: So what happens after 2015?

5 MR. DOUGHTY: After 2015 we have a proposal to
6 have the ISO pick up ownership of Flex Alerts. And we would
7 do that in the future with no paid media. We believe the
8 Flex Alert brand has become strong enough that with our
9 existing communication structures we can get the word out to
10 the consumers that needs to get out. So beginning January 1
11 the ISO will own the Flex Alert brand, will own the Flex
12 Alert network and the Flex Alert URL. It will maintained
13 and managed, but we just won't have the paid media element
14 along with it.

15 CHAIR WEISENMILLER: Okay. So how much was the
16 paid media element?

17 MR. DOUGHTY: I think \$10 million. Does anybody
18 here no the number better than me? \$10 million.

19 CHAIR WEISENMILLER: Yeah. I guess the question I
20 would ask from folks back to the PUC, I've heard President
21 Picker a number of times question the effectiveness of the
22 PUC's \$1 billion Energy Efficiency Programs. And so the
23 question is where this fits in that.

24 MR. DOUGHTY: Okay. We'll make sure we take that
25 back to the conversation. Thank you.

1 COMMISSIONER FLORIO: We've got a number of
2 synchronous condensers being installed. And I've had
3 generators tell me that they have the capacity to provide
4 the same kind of voltage support, but there's no way for
5 them to get paid for that. Is that something that the ISO
6 is looking at is using existing generators for VAR support?

7 MR. DOUGHTY: Absolutely. We looked at a number
8 of different generator configurations, including the clutch
9 model we talked about. We have not yet actually brought any
10 of those into service.

11 Steve, do you want to add anything to that?

12 COMMISSIONER BERBERICH: Yes. Commissioner
13 Florio, I think you touch on a specific issue, but also a
14 broader issue. The specific issue is that if the existing
15 power plants provide that reactive power, which they're
16 capable of doing, you have emissions, obviously, associated
17 with that. With a synchronous condenser, depending on how
18 they're deployed, you don't necessarily have that. So
19 that's the opportunity you have there.

20 On a broader perspective, though, as you have
21 higher and higher penetrations of renewables on the system
22 the grid resources that we were receiving from traditional
23 conventional plants now have to be provided by something
24 else. And it is likely that we will be evolving our market
25 to price things like voltage support and things like that as

1 you look down the road. So I think you do touch on, I
2 think, on a macro issue that will have to be -- but
3 specifically in that running them would increase emission
4 which would be counterproductive.

5 MR. DOUGHTY: Thank you.

6 MS. RAITT: Thank you, Tom.

7 So our next speaker is Jim Avery again from San
8 Diego Gas and Electric.

9 MR. AVERY: If I may, I'll just touch real quickly
10 on that last question as it relates to just synchronous
11 condensers since the bulk of these are being installed in
12 the San Diego region.

13 Virtually all of the generation in the San Diego
14 region is under contract to SDG&E. And to the extent that
15 any of the equipment has the capability to provide reactive
16 support, it's compensated through the contracts it has with
17 SDG&E to provide that support. So I don't think there's any
18 lost opportunities here as it relates to that. And Steve
19 Berberich is exactly correct, that to the extent you would
20 operate a generator for the purpose of operating as a
21 synchronous condensers, there are clearly emissions
22 associated with doing that.

23 If you -- I'm going to focus first on the ISO
24 transmission planning process from 2012-2013. There were
25 three major areas that SDG&E was directed to move forward

1 with. The Talega synchronous condenser, I already mentioned
2 that came online last Friday and it is providing a
3 significant reactive source into our region.

4 I'll draw you back to our system and point out,
5 essentially, if you look at San Onofre, while it sits in the
6 northwest portions of San Diego, electrically it looks more
7 like it's in the L.A. Basin than it does in the San Diego
8 region.

9 Talega is the first node beyond the San Onofre bus
10 into our system to the north and extending over to the east.
11 And San Luis Rey is the first node extending to the south
12 out of the system. And a synchronous condenser is slated to
13 go in service in that substation, as well. The Encina
14 facility is located just south of the San Luis Rey.

15 So all of these transmission and generation assets
16 are located primarily on the corridor that connects San
17 Diego to the L.A. Basin. And that largely has been the
18 focus for why those are strategic areas to deal with some of
19 the voltage constraints in that region.

20 The second project that has been identified by the
21 ISO is the Sycamore to Penasquitos 230 kV Transmission Link.
22 This is a project that was originally identified as part of
23 the Sunrise Power Link. But it was deferred from that
24 project until a later date and clearly became identified by
25 the ISO in the 2012-13 time period. And that project is

1 slated to come online in the 2017 time period.

2 The other synchronous condenser project that was
3 identified was the synchronous condenser at the San Onofre
4 bus. Originally two were identified there. But in working
5 with the ISO, Southern California Edison and SDG&E worked to
6 split that into two separate projects, one of the
7 synchronous condensers being located at SONGS within the
8 existing switchyard, and the second one located in Edison's
9 substation up at Santiago.

10 In the 2013-2014 transmission planning process
11 there were four projects identified here. One is the
12 synchronous condensers located at San Luis Rey that I
13 mentioned just a few moments ago. Site development work is
14 beginning. And in-service date is scheduled for 2017.

15 The other project is one that has been looked at
16 for probably over 20 years now but identified and approved
17 in the 2013-14 horizon. It is the Imperial Valley Phase
18 Shifter Project. As you start moving bulk power into the
19 region, into San Diego across the Sunrise Power Link and the
20 Southwest Power Link, under different flow configurations or
21 flow conditions we can create problems in the neighboring
22 systems in CFE and Imperial County. And the Phase Shifter
23 is designed to mitigate the potential -- the potential for
24 some of those problems.

25 And the Miguel synchronous condenser is another

1 project, again slated to be in service in 2017.

2 And the last project is the Suncrest Static VAR
3 Compensator. The ISO awarded that to a third party and it
4 has been identified and needs to be in service for the 2017
5 window of time, as well.

6 That covers for San Diego.

7 And any questions?

8 COMMISSIONER MCALLISTER: Yeah, I have a question.
9 So I missed the first half of your -- your presentation, so
10 I'm sorry, you might have talked about this already a little
11 bit. But I guess, you know, having had a front row seat to
12 the Sunrise proceeding when I was living in San Diego, I
13 guess I'm wondering, lessons learned, you know, how you
14 might manage that process differently? Or, you know, I know
15 there was a reticence to kind of commit to what kind of
16 energy was going to flow over that line. And I kind of, you
17 know, can understand some of that. But I guess I just --
18 how it was sort of managed with the community relations and
19 kind of the technical underpinnings and the long-term plan
20 for the line, I guess, you know, I'd like to hear some
21 lessons learned from the permit using your perspective.

22 MR. AVERY: Well, I'll touch on the reticence for
23 committing to resources to the facility. As you are aware,
24 a lot of groups suggested that they could get behind and
25 support the Sunrise Power Link if, in fact, it was being

1 built for the development of renewable resources.

2 As you also know, though, SDG&E is not in a
3 position to commit to what other people can and would use
4 the transmission line for. We did say early on that this
5 was about the development of renewable resources. And we
6 did say that it was our plan to use this line for renewable
7 resources.

8 What I did mention this morning, and unfortunately
9 you did have to step out, is that it is now several years --
10 it's over ten years since we first proposed this project.
11 It's been service now for three years. And to date, 100
12 percent of the resources that have filed an application at
13 the ISO to take advantage for the capacity made available by
14 Sunrise has been renewable in nature. So in fulfilling what
15 we had said was our plan, all of that has come to be the
16 case.

17 There were a number of special interest groups who
18 opposed the Sunrise Power Link for some very valid concerns
19 and valid reasons. But there were also a lot of people who
20 were stirring up that this was all about dirty power from
21 Mexico or this is about dirty coal power. And none of that
22 has come to pass. None of that is real.

23 The truth is this is about renewable power. The
24 truth is it's delivering renewable power.

25 COMMISSIONER MCALLISTER: Yeah. So thanks for the

1 answer. And I guess I'm -- obviously, it's easy in
2 retrospect. But, you know, the fact is I think it's a
3 success story for getting renewables harvested and into the
4 grid in a way that's productive; right? But I guess, you
5 know, we don't always have ten years to sort of --
6 particularly as we want to try to facilitate the building of
7 transmission, how that process might sort of be sped up but
8 still not shortchange the public process.

9 MR. AVERY: I think it would be foolish to think
10 that under the current process the way it is designed we
11 encourage people to come in and oppose projects just for the
12 sake of opposing projects, that you can shortcut this
13 process into anything shorter than it was. I think to a
14 very large extent these are emotional issues. These are
15 issues that draw opposition.

16 I think the Commission did a very good job of
17 trying to balance the interests, trying to balance the
18 overall project. I mean, the original route that we had
19 proposed is not what was selected. An alternative route was
20 identified and that route was selected and that route was
21 constructed. Obviously, there are people who didn't want
22 any route or people who didn't want that route over another
23 route.

24 But I think the process that we went through, the
25 identification of alternatives, the benefits that were

1 identified in here ultimately prevailed. I think it would
2 be foolish to think that we could somehow come up with a
3 process that could have saved us some time here or there. I
4 would love to see that as a possibility. But in reality
5 it's harder and harder to build facilities into any -- any
6 constrained region.

7 And if you look at San Diego, we're a highly
8 constrained region. To the east I think there's 214 miles
9 of border separating San Diego from the rest of the world,
10 over land. And out of those 214 miles over 200 miles of
11 them are blocked by -- by Native American lands, by State
12 Parks, by National Wilderness, by National Parks, by
13 military bases, which really creates a very small corridor
14 for anything to be constructed. And as a result it limited
15 the ability to look for alternatives into the region.

16 But I think the team that went through this, I
17 mean, we learned a lot of lessons from the Valley Rainbow
18 days. We put forth a project that had reliability benefits,
19 that had multiple legs to the stool, also economic benefits,
20 and on top of that provided access to renewables. I think
21 it was the overwhelming preponderance of the benefits that
22 the project provided that ultimately made the project
23 prevail.

24 COMMISSIONER MCALLISTER: Thanks.

25 MR. AVERY: Thank you.

1 MS. RAITT: Thank you.

2 Next is Dana Cabbell from Southern California
3 Edison.

4 MS. CABBEL: Good morning, everybody. Thank you
5 again for inviting me to come and talk about some of the
6 transmission projects that we are working on.

7 As last year, I wanted to provide an update on
8 some of the transmission projects that aren't necessarily
9 pertaining to the OTC and SONGS concerns, but also some
10 projects that are integrating and bringing in renewables
11 from outside, but also projects that help to serve reliably
12 the load, the growing load in certain areas.

13 Corto Lugo (phonetic), I'm sure as everybody is
14 aware of, it was dismissed due to some recent studies
15 performed by the ISO and retirement of some projects up in
16 that -- north of Lugo, part of the grid. There was -- it
17 actually came down to not needing Corto Lugo for
18 deliverability of some resources up in that area. So that
19 project has been dismissed and we've stopped all work on
20 that project to date.

21 West of Devers, that is a rebuild of some 230
22 lines west of Palm Springs area. Again, that project is to
23 help integrate some -- mostly renewables from Imperial
24 County, but also east of Palm Springs area. That -- the
25 draft EIR has just been released on that. We're going

1 through that at this moment to determine what the proposals
2 are, the alternatives that are being proposed. And we're
3 going to go forward and provide, obviously, our comments on
4 that. Construction we're hoping will begin next quarter or
5 quarter one of 2016, so that we'll be able to meet our 2020
6 operating date.

7 A new kind of a different project that's going on
8 is the Lugo-Mojave/El Dorado-Lugo Series Capacity -- Series
9 Capacitor Project. These are 500 kV lines that go out east
10 of our Lugo Substation, Hesperia area, out towards southern
11 Nevada. They're series capacitors that are on these lines.
12 Series capacitors, essentially, are devices that are put
13 into lines that shorten the impedance of the line so that
14 you're able to bring in more power over the existing
15 conductor. This project was actually approved in the 2012-
16 2013 ISO Transmission Plan. It's policy driven to help
17 integrate renewables from the southern Nevada and Arizona
18 portion of the grid.

19 So right now we're going through some detailed
20 engineering to be able to upgrade those series capacitors
21 thermally and provide more compensation on those lines. And
22 that's supposed to come in on -- in 2017.

23 The last two projects are Alberhill and Santa
24 Barbara County Reliability. These are essentially projects
25 to help serve the load in those areas.

1 Alberhill is Lake Elsinore area. It's a new
2 substation that's going to be built to be able to continue
3 to serve the growing load out in that area.

4 Santa Barbara County reliability project is
5 actually a 66 kV project. It is to rebuild the 66 kV lines,
6 because with Santa Barbara we have two 230 lines that serve
7 that area. If for whatever reason, fire, landslides because
8 they're up on a hill, if we lose those 230 lines Santa
9 Barbara and that whole area, Santa Barbara County is
10 isolated from the grid. So we're trying to rebuild the 66
11 lines and help support the local load in that area. And
12 that is supposed to be built and completed by 2016.

13 So on to some of the projects that have already
14 been mentioned as -- they were identified as needed to help
15 with the OTC retirements and compliance, and also with
16 SONGS.

17 The first major project that we identified was the
18 Mesa 500 Substation Project. It's rebuilding one of our
19 current substations which is a 230-66 kV substation right in
20 the Montebello area.

21 And we will be rebuilding that to a 500 kV
22 substation and looping in the Vincent-Mira Loma 500 kV line
23 which was part of the Tehachapi project. So that project,
24 we've submitted a PTC application earlier this year. The
25 draft EIR is anticipated to come out soon. And we hope to

1 achieve the PTC by next year so we can start construction
2 and meet our in-service date of 2020. And this -- the
3 project again, as I stated up here, helps bring in resources
4 from outside to help serve the L.A. Basin for loss of some
5 of the OTC plants on the west side.

6 As we've talked already, the Santiago Substation,
7 adding the synchronous condenser at Santiago which will help
8 support the SONGS retirement. And this is a turnkey
9 project. The vendor selection is going to be announced in
10 September. And so currently we're on track to meet the 2017
11 date.

12 And lastly, I wanted to just give an update on
13 Tehachapi Renewable Transmission Project. This project has
14 been long in the making. It is to help integrate 4,500
15 megawatts of wind, and now some solar up in that Tehachapi
16 area. All the overhead construction is fully constructed
17 and completed. The only piece that is still underway is the
18 underground portion through the Chino Hills, so three miles
19 portion of the project, it's called Segment 8. That is a
20 500 kV underground which is the first 500 kV underground in
21 the United States. So it's been a very interesting project,
22 very complicated, very difficult project. But we are on
23 track to have that completed and go online in 2016. So it's
24 been pretty significant construction and some new
25 challenges.

1 You know, when we -- when we were handed this
2 opportunity to go underground with 500 kV we wanted to -- we
3 wanted to make it the best engineering project and be the
4 most successful engineering project, because it is a vital
5 piece of the entire Tehachapi Renewable Transmission Project
6 to complete that segment into our -- into the basin to bring
7 in that resource.

8 And I think that's it. Any questions?

9 COMMISSIONER FLORIO: Yes. On the West of Devers,
10 will that allow more power to come into the basin or it that
11 being done for other reasons?

12 MS. CABELL: Yes, it will, the short answer. It
13 does bring in -- I don't think I have a graphic of it -- but
14 the West of Devers, the 230 lines come from what we call our
15 Devers substation into kind of Vista area, which is bringing
16 it further into the basin where it picks up into more of our
17 robust -- robust portion of our grid to bring the resources
18 further in to the load basins.

19 COMMISSIONER FLORIO: Okay. Thank you.

20 MS. CABELL: Uh-huh. Okay?

21 COMMISSIONER MCALLISTER: Great.

22 MS. CABELL: Great.

23 COMMISSIONER MCALLISTER: Thanks.

24 MS. CABELL: Thank you.

25 MS. RAITT: Thank you.

1 We'll move on to Generation and hear from Roger
2 Johnson from the Energy Commission.

3 MR. JOHNSON: Good morning. And again I'll thank
4 the Committee for having me back again. I'd like to -- my
5 name is Roger Johnson, Deputy Director for Siting at the
6 California Energy Commission. And I'd like to update the
7 Committee today on the status of generation permitting in
8 Southern California.

9 So just a graphic to show you the location of the
10 projects we've been talking about today. We have a new
11 project we'll be talking about, the Puente Project by NRG to
12 the north. And we then show where the El Segundo, Redondo,
13 Alamitos, Huntington Beach, San Onofre, Carlsbad, and then
14 we'll talk about Pio Pico and Wellhead, as well.

15 So I just want to -- I just want to quickly -- I
16 know where I'm standing, between you and lunch, and so I'm
17 going to quickly go through these projects and just let you
18 know where we are today.

19 The Mandalay Generating Station Replacement Energy
20 has filed that application with the Energy Commission. It's
21 a 262 megawatt GE-framed 7HA combustion turbine generator.
22 It's located in the city of Oxnard at the existing Mandalay
23 Generating Station. This picture shows an artist's
24 rendering of what the new facility would look like there to
25 the left of the existing facility.

1 We have an information hearing scheduled later
2 this month, August 27th, down in Oxnard. We're expecting a
3 Commission decision probably June of 2016. And the OTC
4 compliance date on this project is December 31st of 2020.
5 And they do have a Power Purchase Agreement.

6 The AES Alamitos Project, it's a replacement
7 project. Currently -- last time I was here last year, that
8 was -- AES was proposing 1,950 megawatts of new -- new
9 generation at that site. Since then they've asked us to
10 stop work on the project and they're going to supplement
11 their application for a different configuration project that
12 would match the PPA they received from Edison. And so
13 they're going to propose a 640 megawatt air-cooled combined
14 cycle there at that site. And we understand they're
15 possibly going to add four LMS100s as additional generation
16 that would be permitted at the same time.

17 We expect that supplement this year, they say
18 anytime now. Probably a Commission decision in 2016.
19 They're OTC compliance date is December 31st, 2020. And
20 they do have a PPA for the 640 megawatts.

21 NRG El Segundo, we've talked about that a couple
22 times today. The first two units were replaced and started
23 operation in August of 2013. That's a 560 megawatt fast
24 track combined cycle that's dry cooled. It's located in the
25 city of El Segundo. Now they're -- we're looking at a

1 replacement of Units 3 and 4. They have an application with
2 the Commission for 449 megawatts which is a one fast track
3 air-cooled combined cycle and two simple cycle peakers.

4 We're getting ready to issue our final staff
5 assessment this month. And we're expecting a Commission
6 decision later this year. Their OTC compliance date for
7 that project is December 31st, 2015. And they do not have a
8 PPA for that project.

9 AES Redondo Beach, a replacement project proposed
10 496 megawatts, a three-on-one air-cooled combined cycle
11 located in the city of Redondo Beach at the existing power
12 plant. This project started and stopped and restarted now.
13 We had a preliminary staff assessment workshops earlier this
14 year in May. And we're getting ready to file a final staff
15 assessment in the next few months. There will probably be a
16 Commission decision in 2016. OTC compliance date is 2020.
17 And they do not have a PPA for that project.

18 AES Huntington Beach, we talked about that one, as
19 well. This one is a 644 megawatt air-cooled combined cycle
20 is what they want to change it to. Last year we permitted
21 939 megawatts at that site. Since we issued that permit
22 they've received a Power Purchase Agreement from Edison for
23 the 644 megawatts. So they're planning now to file a major
24 amendment with the Energy Commission to change that project
25 design to accommodate the new air-cooled combined cycle.

1 And they're also considering adding 200 megawatts of LMS100
2 generation there.

3 The project, again, located in city of Huntington
4 Beach at the existing Huntington Beach Power Plant. They
5 expect to file their amendment next month. And OTC
6 compliance date is 2020. And they have a Power Purchase
7 Agreement for the 644 megawatts.

8 Energy Carlsbad, last year this project was still
9 under review. Now I can say it's been permitted, and we
10 just talked about that earlier today and quite a few people
11 have mentioned that one. Right now what's happening at the
12 site is they're removing the -- the oil storage tanks to
13 make room for the project. They started construction on
14 that effort of the project. The actual construction of the
15 power plant is to be determined.

16 They've got some pre-compliance -- pre-
17 construction submittals that have to be provided. OTC
18 compliance date is December 31st of 2017. And they have
19 their PPA for 500 megawatts, although the Commission issued
20 a license for 632 megawatts at that site.

21 Pio Pico, 300 megawatt simple cycle project. It
22 has started construction, as was mentioned today. And they
23 expect to be operational in September of next year. This is
24 down in Otay Mesa area, three LMS100s.

25 Wellhead, this is a project that received a

1 project from Southern California Edison. It's 98 megawatts,
2 two LM 6000s. It's proposed to be in the city of Stanton.
3 We haven't seen the AFC yet. We're expecting to receive
4 that after they get their approval from the CPUC for that
5 contract. They have their PPA for their 98 megawatts.

6 And so here's a summary of the information I've
7 pretty much just presented and showing you that from -- from
8 last year we've added the Puente Project. We've changed the
9 capacity of the Alamitos and Huntington Beach Projects.
10 We've added the Wellhead Project. And two projects have
11 been removed since last year, the Watson 5th Train, it was
12 another combined cycle co-gen project at the Watson
13 Refinery. They've -- they've terminated that certificate.
14 And Quail Brush terminated their 100 megawatt AFC, as well.

15 So that's the current status of the projects in
16 the Southern California area.

17 CHAIR WEISENMILLER: Roger, you want to identify
18 any pending solar projects in Southern California?

19 MR. JOHNSON: We only -- we only have the
20 potential of one solar project that I'm aware of, and that's
21 essentially the Palen Project. It's -- it was initially
22 proposed as a solar thermal trough project. It went through
23 bankruptcy, was picked up by Bright Source and Abengoa. It
24 was proposed through a major amendment to the Energy
25 Commission as a solar power tower project, water -- water

1 boiler. And they withdrew that application for that
2 amendment.

3 And now they're proposing to come back yet another
4 time, this time Abengoa is the sole proponent of the
5 project. And they're telling us they're going to bring a
6 solar molten salt tower to that same location. So that's
7 the only project that we're expecting.

8 CHAIR WEISENMILLER: Okay. And then I guess I
9 should have asked you also about any pending geothermal
10 projects in Imperial Valley?

11 MR. JOHNSON: We have -- we have a couple of
12 projects in Imperial Valley that have been talking to us.
13 One of them wants to come back and do an amendment, that's
14 the Black Rock Project. And then we also have another
15 project that's been talking to us about filing a permit, but
16 they haven't yet decided.

17 CHAIR WEISENMILLER: Yeah. I was going to say, I
18 think they've been talking to us about as long as I've been
19 Chair. But anyway, we're still waiting for the geothermal
20 to come in.

21 MR. JOHNSON: Right.

22 CHAIR WEISENMILLER: Okay. Thanks, Roger.

23 MR. JOHNSON: All right. Thank you.

24 CHAIR WEISENMILLER: Actually, while we're
25 transitioning I should also make an observation that we've

1 been talking about transmission. And I would point people
2 to a recent letter for President Picker and I to Steve
3 Berberich that would announce the kickoff of, basically,
4 RETI 2.0 which will be a stakeholder process to come up with
5 what the -- what our transmission plans will be associated
6 with going from 33 to 50 percent renewables. So stay tuned
7 as we roll that out, but encourage Board participation in
8 that effort.

9 MS. RAITT: Okay. We actually did have a couple
10 questions for Caroline and Southern California Edison that
11 came over our WebEx. So if Caroline could address those
12 that would be helpful.

13 MS. MCANDREWS: So I'm going to read the question,
14 and then just give my short response.

15 "Can you speak to the cost benefit analysis for
16 the PRP deployment of preferred resources?"

17 Regarding the cost, we're really looking at using
18 our existing programs. So our customer service programs,
19 our DSM portfolios, they have a cost effectiveness check.
20 The contracts from LCR, they go through for CPUC approval.
21 And so we expect the costs to be in line with the
22 existing -- existing costs for other resources.

23 We're not going to look at any one particular cost
24 of a resource. We're going to look at it from a portfolio
25 aspect.

1 Regarding the cost benefit, the benefit aspect
2 obviously is -- it reduces the greenhouse gas emissions, and
3 so there is a benefit associated with that. But in, you
4 know, the longer term the 2018 timeframe when we pull
5 together all of this information, we will pull together the
6 costs, the measurement, the reliability components and the
7 benefit. So stay tuned for the cost benefit conclusions at
8 that point.

9 Two, "Can you speak to the assumptions on slide
10 six about forecasted" -- that's probably slide -- numbered
11 slide five -- "about forecasted load growth in 2022 spike?"
12 That's the first part.

13 There is no real spike. The graph on the top
14 portion really shows an increasing load growth of about 32
15 megawatts per year. So there's -- there's no specific
16 spike. It's a gradual increase. The assumptions that went
17 into that really come from the plans that are submitted to
18 us by developers and businesses, as well as just looking at
19 things such as increase in electrical, vehicle use, and the
20 assumptions that go into the normal forecasting.

21 The other question -- and maybe to clarify that,
22 why the need is out in 2022, and you've heard many comments
23 about the OTC plants getting closed in 2020 is because
24 that's crossover point in which the load growth exceeds the
25 amount of imports that we are capable of supporting before

1 we hit that transmission constraint.

2 Part two to this question was, "Are these taking
3 into account ZNE standards, DERs anticipated from the DRP?"

4 So first I'll start with DERs, distributed energy
5 resources, coming from the Distributed Resources Plan. The
6 region will serve -- this PRP region will serve as part or
7 as a whole of the demo projects for Demo Projects A through
8 Delta, Alpha through Delta, with C and D Projects being the
9 actual deployment of those resources to meet those
10 demonstration project objectives. So it is accounting for
11 the actual DERs that will be deployed by -- as part of the
12 DRP. Maybe I can throw a few more acronyms in there. So I
13 apologize for all that. Hopefully there will be a glossary.

14 Also, relative to leveraging the current
15 standards, we do that on a regular basis. We right now do
16 not have ZNE standards, so as those evolve hopefully we can
17 -- we're anticipating them and hopefully we can influence it
18 through what we've learned here. We are really looking
19 forward to the anticipated standards on smart invertors
20 because we see that could potentially provide some support,
21 VAR support, specifically very locally.

22 COMMISSIONER MCALLISTER: Yeah, I'll just chime in
23 on that. So we absolutely welcome your sensitive input on
24 the ZNE front, I think to the extent there are some lessons
25 learned that we could use in the Title 24 process,

1 absolutely welcome --

2 MS. MCANDREWS: Thank you.

3 COMMISSIONER MCALLISTER: -- and you're very much
4 encouraged to submit that --

5 MS. MCANDREWS: Thank you.

6 COMMISSIONER MCALLISTER: -- as part of the
7 process.

8 MS. MCANDREWS: Thank you.

9 The third question was, "How does AMI data help
10 inform system reliability in the PRP study?"

11 Well, first off, we really are doing a bottoms-up
12 type of analysis. It assists us in understanding the end
13 uses of our customers. So therefore we can target EE, DR,
14 PB by knowing the end uses. And we can incorporate that and
15 blend that with a market potential.

16 Additionally, we're leveraging that information to
17 actually get actual performance and see how that reflects
18 back to the grid level savings at the substation level.

19 MS. RAITT: Thank you. Those questions were from
20 Mark Costa at the -- from the Energy Coalition.

21 Did you want to go ahead and break for lunch?

22 COMMISSIONER MCALLISTER: I think so.

23 MS. RAITT: So we'll go ahead and break for an
24 hour lunch and be back here at 1:20.

25 (Off the record at 12:19 p.m.)

1 (On the record at 1:21 p.m.)

2 MS. RAITT: All right, we're getting ready to get
3 started again.

4 So at the end of the day we're going to have an
5 opportunity for public comments. And for the folks on
6 WebEx, unfortunately we won't be able to hear any verbal
7 comments. But you are welcome to use your chat function to
8 write comments or submit written comments. Written comments
9 are always a great way to provide feedback. And again, the
10 way to do that is provided in the notice. And comments are
11 due August 31st.

12 So with that we'll go ahead and start our
13 afternoon panel on continued update on activities identified
14 in the draft plan. And we have a presentation from Mike
15 Jaske and Lisa Wong -- excuse me, Lana Wong. I don't know
16 why I said that.

17 MR. JASKE: So good afternoon, Mike Jaske, Energy
18 Commission Staff. I'm going to do about -- well, the
19 beginning and the end of this package. And my colleague
20 Lana Wong will due the middle sections.

21 We've -- the technical staff of the agencies have
22 been working on this effort ever since the non-taskforce
23 called into being by the governor in the summer of 2013.
24 And the preliminary plan put forward is sort of a basic
25 thrust of how we're trying to deal with the SONGS' issue, as

1 well overall OTC. And we're heard a lot of reports this
2 morning about the sort of status of the resource development
3 efforts that are the real solution to that.

4 But in addition to that, the preliminary plan
5 called for the development of some kind of contingency
6 measures so that if those preferred resources and -- or the
7 conventional generation could not be developed then, you
8 know, we'd have a backup that would assure reliability. And
9 what I'm going to present today, what Ms. Wong and I are
10 going to present today is a tool that we have developed,
11 that the Energy Commission, with some assistance from the
12 PUC and ISO, that will help us to gauge whether we actually
13 expect to be on track, and if not how might this analytic
14 information support the triggering of these contingency
15 measures. So I think I said that already.

16 So we call this thing Local Capacity Annual
17 Assessment Tool. And as an initial-ism we call it LCAAT,
18 just for simple reference. And really what we're doing here
19 is developing annual projections of resources versus local
20 capacity requirements in a number of specific areas of
21 Southern California, the combined area itself, the L.A.
22 Basin, the West L.A. subarea within the L.A. Basin, and the
23 San Diego subarea. And this analysis can provide an
24 understanding of timing, as well as the nature of any
25 shortfall in satisfying these local capacity requirements.

1 Now this is a simplified tool and we don't propose
2 that we would trigger, you know, complex, perhaps certainly
3 expensive or -- or otherwise controversial mitigation
4 measures just on its analysis. And so this is generally --
5 I think the way to think of this is kind of a screening tool
6 that would, given its results, you know, call upon a more
7 in-depth study, presumably by the ISO, using the normal
8 power flow techniques and stability studies that they do on
9 a returning basis. And then, you know, if that analysis
10 confirmed what LCAAT shows, then we'd be in a stronger
11 position to know that we might need to do something serious.

12 So again, another chart of the area just showing
13 where we are. Again, we're not doing Big Creek-Ventura now,
14 but we may be doing Big Creek-Ventura in a future cycle.

15 So a little section here on method and
16 assumptions. So this is a spreadsheet tool. It's
17 relatively easily modified, tweaked, added to. The input
18 assumptions that drive it in the baseline projections are
19 those that were developed for the 2014 LTPP and/or for the
20 2014-15 TPP. And those two are about 90 percent, 95 percent
21 the same, so there's only some limited differences. We did
22 need to create some methods and supplements and inputs to do
23 the geographic tagging that lets us, you know, pull values
24 into local areas and subareas. And we did also need to
25 create some logic to modify the initial LCR study results so

1 that they could be used in this tool and annualized. So
2 I'll -- I'll go through that more later.

3 So it does, in the end, produce tabulations of
4 resources versus requirements by five areas on an annual
5 basis. And we intend to update this on an annual basis and
6 then selectively, if and when needed, something major has
7 changed.

8 And so the way in which that update would
9 generally happen is that in the spring of each year the ISO
10 staff develops One- and Five-Year Ahead LCR Studies. And
11 then in December they typically release a preliminary. And
12 then early in the following -- in like January or February,
13 the final Ten-Year Ahead LCR Study results. And so it's
14 about that preliminary cycle of December that we can have
15 enough of the LCR and all the input assumptions that are
16 drivers for them all together. And that's when we would do
17 an update.

18 So we're sort of moving toward the tail end of
19 using 2014-15 TPP LCR results. And over the next three or
20 four months, when we get the '15-16 results we'll have those
21 available for a whole comprehensive update.

22 So, of course, there's always advantages and
23 disadvantages of creating more simplified tools relative to
24 complex ones. Clearly it's easier to assemble these data
25 than the much more load-bust (phonetic) specific data that

1 drives the ISO's tools -- well, let me say models, let me
2 say model for, you know, a sophisticated analytic support
3 tool. And this is -- this is a tool. It's not at the level
4 of a wholly independent model. But also has the advantage
5 that we can make many more runs.

6 And when we get into the sensitivity study today
7 you're going to see that we can draw some inferences from
8 the ease of using this thing and rerunning it for wholly
9 different sets of input assumptions that -- that the ISO's
10 more complex tool would just not have -- they would not have
11 the bandwidth in order to do all these cases.

12 So we're losing some accuracy perhaps. There may
13 be some shades of gray that LCAAT can't really distinguish
14 between. Clearly things that are down to the individual
15 load busts, this tool cannot handle -- we need, you know,
16 the power of the actual power flow models to really
17 distinguish those kinds of phenomenon.

18 And then, of course, sort of the compliment to
19 what I said before, if and when the ISO produces new results
20 we have to bring this tool up to speed in order to be
21 comparable.

22 So more about where our input assumptions are
23 coming from. The base demand from the 2013 IEPR -- 2014
24 IEPR, of course, was adopted, I guess officially in early
25 2015, as well as the AAEE savings that are associated with

1 that. But we're -- those -- the ISO has not yet released
2 the Ten-Year Ahead LCR Study results using those
3 assumptions, so we're lagging behind that IEPR cycle. That
4 will come soon.

5 We are using the results from the 2015, '19 and
6 2024 studies that the ISO has done. And a key assumption
7 that we're going to return to, probably more than once in
8 this presentation, is that when there are demand-side
9 adjustments, when there are changes in base load, changes in
10 AAEE or -- or the introduction of the preferred resources
11 that Edison is pursuing or the comparable ones that San
12 Diego is pursuing, we're assuming the LCR changes on a
13 megawatt for megawatt basis. That's an assumption.

14 We are conducting a powerful study using a
15 consultant to look at that very question of is there that
16 scaling. And if it's not found to be one-for-one we'll --
17 we'll bring that parameter into this tool. But for right
18 now we're assuming that if AAEE falls short a megawatt then
19 there's one megawatt of LCR requirement not satisfied.

20 On the resource side, again, we're -- we're
21 doing -- what I'm reciting here are basically all of the
22 specifics that were developed for the 2014 LTPP cycle and/or
23 the 2014-15 TPP. So we're using 2014 net qualifying
24 capacity list. We're putting in the Power Purchase
25 Agreements that Edison submitted to the PUC that aren't yet

1 approved. We're assuming that they are approved and on
2 schedule, at least as a baseline.

3 We're assuming that the RPS portfolios of
4 renewables are following the trajectory case, as did the ISO
5 in its analyses, although we do assess as one of the
6 sensitivities the high DG portfolio.

7 For retirements, all the OTC plants are following
8 the dates established in the OTC policy by the Water Board,
9 even though the owners of those have some slightly different
10 ideas about what those schedules are. We have age-based
11 retirements of the various kinds of generating technologies
12 using the same formulas that the PUC and mean-age
13 assumptions in the PUC's 2014 LTPP settings. And we are, in
14 those instances where we have that data, taking contract
15 based extensions into account. So if a plant would reach
16 its 40th year in 2016 and it actually has a contract out to
17 2018, we're keeping it in until 2018.

18 So the local capacity requirements of the areas
19 are obviously a key input assumption. The ISO uses a very
20 specific set of assumptions when it runs those studies. And
21 what we are doing here is taking those results and in some
22 instances we are adjusting them so that they're on the same
23 basis. So at least the way we understand how 2015 and '19
24 are reported, they aren't reported exactly the same way as
25 2024. So we picked one of those two methods and we put

1 them, all three of them, on the same basis.

2 Those base LCR requirements then are modified by
3 all these load modifiers, energy efficiency, behind-the-
4 meter DG, behind-the-meter storage, and the transmission
5 system upgrades that Mr. Doughty talked about this morning.
6 And so the tool enables by the logic in it, if one of those
7 projects is delayed a year we're able to take that into
8 account in generating slightly different LCR requirements
9 or -- and/or satisfaction of those requirements.

10 I think I've probably said most of this slide
11 already, but what do specialized factors down there mean?
12 One of the uncertainties that confronts us and has been the
13 subject of a recent decision at the PUC is the migration,
14 transformation, one of those words, of QFs and co-gen
15 contracts into something more like a wholesale generator.
16 And how successful that transformation is, is not clear.
17 And so that's one of the sensitivities that we assessed in
18 this study is a pretty simply way of generating a lower co-
19 gen projection than in the baseline.

20 Of course, OTC retirement is a very key
21 assumption. That's been mentioned several times before, all
22 of these thousands of megawatts of the existing OTC
23 facilities on the left-hand side and their compliance dates
24 and what is in queue through Power Purchase Agreements to
25 replace them. Obviously, the sum of the OTC column and the

1 sum of the replacement column are quite different,
2 reflecting that we're pursuing renewables, other preferred
3 resources and storage as part of our transformation of the
4 whole electricity system.

5 Now this is a slide that you're not going to be
6 able to see. I don't expect you to see it. But this is one
7 of the key ways in which the results actually appear. So
8 these tables that look like this are generated for every one
9 of the areas. So you can see all these rows of data,
10 starting with load, the LCR requirements, a whole bunch of
11 different categories of resources. And then the bottom line
12 is literally the bottom line. What is the surplus or
13 deficit of resources versus requirements for all these
14 years? And we'll show you results in more user friendly
15 ways than that, but everything stems from these initial
16 results.

17 So one -- one way to --

18 COMMISSIONER MCALLISTER: There's a quick question
19 before you go on to your --

20 MR. JASKE: Go ahead.

21 COMMISSIONER MCALLISTER: Go ahead, Steve.

22 COMMISSIONER BERBERICH: Do you have a -- the LCR
23 change from demand adjustments which are negative numbers?

24 MR. JASKE: Correct.

25 COMMISSIONER BERBERICH: Does that apply when you

1 have decreasing load?

2 MR. JASKE: No. It means that's a negative value
3 which is reducing that line above that called gross local
4 capacity requirements. So it's -- so pick -- pick a year,
5 like 2021.

6 COMMISSIONER BERBERICH: So it was a local
7 capacity requirement when you took a demand adjustment that
8 would increase it if you had increasing load, wouldn't it?
9 And I'm just -- you know, maybe I don't understand.

10 MR. JASKE: Look, take 2021 column, because we'll
11 talk about 2021 a lot, 10,280 of gross LCR requirements.
12 There's 700 megawatts of reduction due to the reactive power
13 projects that we talked about this morning. And then
14 there's an 1,110 megawatt reduction due to demand modifiers,
15 which --

16 COMMISSIONER BERBERICH: So that's energy
17 efficiency?

18 MR. JASKE: Energy efficiency, all the behind-the-
19 meter things.

20 COMMISSIONER BERBERICH: I got it.

21 MR. JASKE: Then that gives a final 8,471.

22 COMMISSIONER BERBERICH: Okay.

23 MR. JASKE: So that's showing -- that's showing
24 what would have been the LCR requirement modified by those
25 demand and transmission system upgrades. Okay.

1 So graphical displays are frequently much more
2 effective, so on the left-hand side, sort of almost some of
3 these are the very same things we talked about, the -- the
4 gross local capacity requirements being the blue line, the
5 adjustment -- the adjusted ones from transmission upgrades
6 or demand-side modifiers pushing it down to be the red one,
7 and then the green being the total of all the various kinds
8 of resources and -- which is ISO's to do. And that kind of
9 a chart is wherever the green is higher than the red, then
10 there's a surplus. Whenever the green is lower than the
11 red, then there's a deficit. And this slide shows for L.A.
12 Basin that a deficit appears in '21 and shrinks out to 2024.

13 And then the right-hand graph is just showing that
14 different between the green and the red of the left graph,
15 so that you can actually see the surplus and the deficit.

16 So this is not intended to focus on the results.
17 This is sort of -- these are the visual and numeric ways of
18 displaying results.

19 So at this point Ms. Wong will take over and walk
20 you through baseline and sensitivity studies.

21 MS. WONG: Hi. I'm Lana Wong, Energy Commission
22 Staff. And I'm going to walk you through the baseline
23 results and our sensitivity and scenario studies.

24 So this -- this table shows simplified L.A. Basin
25 results. And it highlights a few key years and a few key

1 variables from that other summary table, just so that you
2 could clearly see this. So we have our base load forecast
3 adjusted by the load forecast modifiers that -- that we
4 talked about, like AAEE. And then that take you to a
5 managed load forecast. Then we have another block in that
6 summary table that is the gross local requirements adjusted
7 by the transmission upgrade impacts, the load modifying
8 impacts, and that gets you to the adjusted local
9 requirements. And then that is compared to our total
10 resources. And that produces the last line which is our
11 surplus or deficit in the area.

12 So if you look at the last row, we're included the
13 years 2020 and 2021 because in the early years you can see
14 there is a surplus, about 1,500 or so megawatts in 2020.
15 But by the time we get to 2021, due to the OTC compliance,
16 we end up with a deficit in 2021. And the full table
17 matching this data appears in the CEC Staff report.

18 So this is --

19 COMMISSIONER MCALLISTER: Can I just ask a
20 clarifying question? So if you could go back to that other
21 table?

22 MS. WONG: Whoops.

23 COMMISSIONER MCALLISTER: One more back.

24 MS. WONG: Okay.

25 COMMISSIONER MCALLISTER: There you go.

1 So you said that the AAEE, you know, the initial
2 efficiency is in -- is already built into the managed load
3 forecast?

4 MS. WONG: Right.

5 COMMISSIONER MCALLISTER: So it's --

6 MS. WONG: It's built into the managed load
7 forecast. It's -- the AAEE is part of the load forecast
8 modifiers.

9 COMMISSIONER MCALLISTER: Yeah. So then down --
10 and in the assumptions that Mike talked about. Then further
11 own you've got load modifiers. You've got transmission
12 system upgrades which produces it somewhat, and then you've
13 got load modifiers --

14 MS. WONG: Right.

15 COMMISSIONER MCALLISTER: -- which are behind-the-
16 meter DG -- or DR, and behind-the-meter DG, and EE is in
17 also there.

18 MS. WONG: Right. The AAEE, yes.

19 COMMISSIONER BERBERICH: So distributed gen is in
20 that number? Rooftop solar is in that number?

21 COMMISSIONER MCALLISTER: In the load modifiers?

22 MS. WONG: Right. So it includes some of the
23 behind-the-meter DG. So specifically what's in there is
24 like from the Edison RFO results for the preferred
25 resources, there's some behind-the-meter DG that's part of

1 the RFO. We've included it in there.

2 COMMISSIONER MCALLISTER: And the storage is also
3 in there, did you say that?

4 MS. WONG: Behind the meter -- if there's behind-
5 the-meter storage, yes, that's included in there.

6 COMMISSIONER MCALLISTER: So I guess my question
7 is: Is this EE that also fits in the load modifiers below
8 in addition to AAEE or is it another part of AAEE? Because
9 if AAEE is up there in the load modifiers, then I'm assuming
10 this would have to be additional to that?

11 COMMISSIONER BERBERICH: I think it's double
12 counted.

13 MS. WONG: Right. No. And it is in the load
14 modifier impact. So we have our gross local requirements.
15 And that's before accounting for any energy efficiency,
16 before accounting for the AAEE. So we are looking at sort
17 of a higher level of gross local capacity requirements. And
18 then that is adjusted by the transmission system upgrade
19 impacts and the load modifiers, including the AAEE. And
20 that gets you to the adjusted local requirements.

21 The upper portion that's showing the managed load
22 forecast, at this point it is sort of for informational
23 purposes. It's not being counted in the gross local --

24 COMMISSIONER MCALLISTER: Okay. I get it. So
25 really there's sort of -- there's sort of a heavy black line

1 between managed load forecast --

2 MS. WONG: Right.

3 COMMISSIONER MCALLISTER: -- and those local
4 requirements?

5 MS. WONG: Right.

6 COMMISSIONER MCALLISTER: Those are two separate
7 things?

8 MS. WONG: Right. Right.

9 COMMISSIONER MCALLISTER: Got you.

10 MS. WONG: So when I look at the summary table,
11 which I know the earlier slide was busy and hard to see, and
12 this -- you know, the first block is just showing you what
13 the base load forecast is, what the load forecast modifiers
14 are, and what the managed load forecast is. So it's in
15 there as information for you. But then the next block is
16 the gross local capacity requirements, then adjusted by the
17 transmission upgrade impacts, the load modifier impacts, and
18 then the -- then that brings you down to the adjusted
19 local --

20 COMMISSIONER MCALLISTER: Got it.

21 MS. WONG: -- capacity requirements.

22 COMMISSIONER MCALLISTER: So 1385 and 1384 are
23 basically the same number?

24 MS. WONG: Right. Exactly. I know, I noticed and
25 it's like, okay, I know that's probably rounding or

1 somewhere in producing the numbers but, yes.

2 COMMISSIONER MCALLISTER: Thanks for that.

3 MS. WONG: Okay. So this chart shows us the
4 results for the baseline case. And it's showing the surplus
5 and deficit, or deficit results in megawatts. And so we've
6 got the combined area in dark blue. The L.A. Basin is in
7 red. The West L.A. subarea is in green. And then we've got
8 San Diego in sort of light blue, and it's off on its own.

9 So once we produced our first set of results the
10 one thing we did was we said, okay, how do our results look
11 and how do they compare to the ISO results? So that was one
12 of the first things we did was we took a look at the 2024
13 results and we said, okay, our 2024 result for the combined
14 area is in line with the ISO's most recent 2014-15 TPP
15 results. So we felt good about that.

16 And then we went through basically a QA/QC process
17 to look at all of the individual components that go into
18 creating the surplus and deficit. You know, basically we
19 wanted to make sure, okay, are these results reasonable?
20 You know, do we have confidence in this? And after going
21 through the process what we saw, there may be some slight
22 differences in assumptions here or there, but pretty much,
23 you know, our results seem in line with the ISO published
24 results.

25 So what you can see on this chart is that for the

1 three areas that are the L.A. Basin, San Diego, L.A. Basin
2 and West L.A. Basin, they all tend to have the same shape.
3 You could see the surplus in the early years, and you can
4 see the drop off in 2021 due to the OTC retirements. And
5 for some areas, like L.A. Basin is in red, you can see it
6 has a larger deficit in 2021 that shrinks, basically, to
7 2024. And for the combined area, which is in a dark blue,
8 there's a slight deficit in 2021 that grows a little bit out
9 to 2024.

10 So one of the key points when looking at the
11 results here is that the deficit that the ISO identified in
12 2024 is actually occurring earlier in 2021. And so when you
13 look at the combined area shape in the latter years compared
14 to the L.A. Basin and the -- the slopes of the lines are
15 slightly different, what you could see is that some areas
16 have their greatest deficit in 2021. And it decreases in
17 time, while others are the reverse. And it may make finding
18 a solution common to all three more difficult.

19 COMMISSIONER BERBERICH: Lana, quick question for
20 you, just for clarification. Are these one-in-two or are
21 these one-in-ten loads? What --

22 MS. WONG: It's based on the one-in-ten loads. So
23 the local capacity requirement studies are based on the one-
24 in-ten loads. So the load that is in here is based on the
25 one-in-ten loads.

1 COMMISSIONER BERBERICH: Thank you.

2 MS. WONG: Okay. So the one thing I didn't
3 mention on the prior chart, I'll flip back up there, was the
4 San Diego area. So San Diego is off on its own. And what
5 you can see is there's a surplus in San Diego. And we do
6 account for the retirement of Encina and the addition of
7 Carlsbad in these results. And that surplus slowly shrinks
8 over time out through 2024. And I think our results may
9 have a slight deficit in 2024.

10 COMMISSIONER FLORIO: So can a deficit in --

11 MS. WONG: Let's --

12 BOARD MEMBER GLICKFELD: Can a surplus in San
13 Diego help cover a deficit in L.A.?

14 MS. WONG: For -- for the combined area, I believe
15 it does have an impact. So the combined area of L.A. Basin
16 and San Diego is a bigger geographic area. And the
17 surpluses in one area could -- because everything gets
18 combined. So what you could see is that L.A. Basin in red
19 has a deficit, San Diego has a surplus, but the combined
20 area in 2021 is -- has a slight deficit.

21 So it appears that, yes, when the whole geographic
22 region is combined, if you're looking at that broad region,
23 then it could help.

24 COMMISSIONER BERBERICH: Commission Florio, can I
25 make a final point on that?

1 COMMISSIONER FLORIO: Yeah. That's really a
2 transmission question.

3 MS. WONG: Right. And I was going to say, but if
4 you look at the individual areas like San Diego or L.A.,
5 then it's a different --

6 COMMISSIONER BERBERICH: Well, my comment here is
7 that these are local capacity. So by definition they're
8 transmission constrained areas. So you can't assume a
9 surplus in San Diego that there's enough transfer capacity
10 to get into the L.A. sub region. So I think that, you know,
11 you can't assume that.

12 MS. WONG: Right. And maybe the key point is when
13 we're looking at these individual local areas like L.A.
14 Basin, West L.A. Basin subarea or the San Diego subarea,
15 that the requirements need to be met for these local areas,
16 as well as the combined L.A. Basin-San Diego area. You
17 know, there are requirements, different requirements defined
18 for each area, and they need to be met.

19 Okay, so when we looked at the L.A. Basin results
20 and we saw the upward trajectory, that it had a deficit in
21 2021 that slowly shrinks, as we dug into the results what we
22 found is that one of the key drivers is the growth in the
23 AAEE savings. So there's a ramping of AAEE in the latter
24 part of the study period that contributes towards that
25 upward slope. And the one thing that we wanted to add here

1 is that there are uncertainties that exist within the
2 overall AAEE projections and their allocation to specific
3 load busses within the L.A. Basin local area.

4 So by interagency agreement the low-mid level of
5 AAEE was agreed upon to be used in the local capacity
6 requirement studies where locational specificity is more
7 critical. And the mid-level case of AAEE is used for bulk
8 transmission studies. And so this whole mapping of AAEE to
9 the specific load busses has been performed by Energy
10 Commission Staff for the last four annual cycles. And
11 there's just uncertainty in that allocation.

12 COMMISSIONER MCALLISTER: A comment and a
13 question. So in my mind that, certainly, the fact that AAEE
14 is a driver and sort of the scenario that you model here --

15 MS. WONG: Uh-huh.

16 COMMISSIONER MCALLISTER: -- and I think what
17 you're saying, basically, there's -- there's a broader
18 uncertainty band around that, and there may be in some of
19 the other resources --

20 MS. WONG: Right.

21 COMMISSIONER MCALLISTER: -- it highlights to me
22 the fact that we just need to put together the analytical
23 tools with granular enough data behind them to be able to
24 track actually what's going on. And I think that's the
25 direction we're aiming with the forecast as it evolves. So

1 we're going to be much more, I think, assertive of them
2 doing that kind of analysis and getting the underlying data
3 from utilities and whoever else needs that data. So that's
4 one.

5 I guess presumably this EE ramp-up in that same
6 time period is happening in other local capacity areas, as
7 well. It's just in the case of L.A. it's making the deficit
8 go down faster. But is that a fair statement? I mean,
9 there's lots going on in there that dictates the slope. You
10 know, several -- many factors dictate the slope. So I'm
11 wondering if EE is really special in L.A. as opposed to
12 another area.

13 MS. WONG: Right. That -- you know, I am not sure
14 about how the ramping in the L.A. Basin compares to San
15 Diego. I mean, San Diego's AAEE also does ramp up by a few
16 hundred megawatts. But with the surplus in San Diego, it
17 doesn't stand out as much. And so I'm not, you know,
18 absolutely certain how the other areas compare with the
19 ramping. But I do believe in our forecast for AAEE, that we
20 do have AAEE ramping in the latter part of the forecast
21 period.

22 Okay. So now to talk about some of our --

23 COMMISSIONER MCALLISTER: One more question here.

24 COMMISSIONER FLORIO: One more before we move
25 to --

1 MS. WONG: Okay.

2 COMMISSIONER FLORIO: -- sensitivity cases.

3 Looking back at slide 16, the transmission systems
4 upgrade impact, but those seem to be growing year by year.
5 And I think Mr. Jaske indicated those are mainly from the
6 voltage support projects.

7 Is the Mesa Loop-In counted in here anywhere?

8 MS. WONG: Yes, it is counted. So the Mesa Loop-
9 In comes in at the end of 2020. And so that contributes to
10 the increase that you see occurring in 2021.

11 COMMISSIONER FLORIO: And only 300 megawatts.
12 Thank you.

13 UNIDENTIFIED FEMALE: You may have said this
14 earlier, apologies if I missed it, but does your baseload
15 forecast account for electric vehicles (inaudible) and
16 consistent with (inaudible) and the Governor's plan for
17 California?

18 MS. WONG: Okay, so now on to the sensitivity
19 results.

20 So as previously mentioned, the baseline
21 assumptions are primarily based on PUC, LTPP assumption, and
22 the ISO TPP assumptions. And over the last several years or
23 several cycles of the PUC's LTPP rule making we've spent a
24 lot of time on the baseline assumptions and coming up with
25 alternative scenarios, and mostly examining the supply site

1 assumptions. And so we recognize that these assumptions are
2 subject to uncertainty.

3 After the ISO published its results for the 2014-
4 15 TPP analysis and showed a shortfall in the combined
5 region, what they identified is a DR is a potential
6 mitigation measure. And what we realized is that, okay, we
7 better include sensitivities for this higher level of DR.
8 You know, our baseline DR was the same amount as in the ISO
9 studies. And we wanted to be able to capture these
10 alternative assumptions.

11 And so that led us down this path of looking at
12 key variables and what the potential impact of those
13 variables could be on the surplus and deficits. So we
14 looked at plausible ranges around the baseline assumptions
15 to come up with our sensitivity analysis.

16 So this and the next slide lists the 11 different
17 sensitivities that we studied. And it includes changes to
18 demand-side and supply-side assumptions. And of these 11, 7
19 of the sensitivities provide upside potential, basically
20 improving the outlook for surplus and deficits, while four
21 of them capture the downside potential or worsening the
22 outlook for surplus and deficits.

23 And I've picked a few sensitivities to cover in
24 more detail that I'll cover in the next few slides. But
25 just to quickly go over these -- the other ones, I'll just

1 go through this list.

2 So the first one, when we looked at the 2014 IEPR
3 demand forecast and compared it to the 2013 we saw that it
4 was slightly lower. So we thought we should do a
5 sensitivity that captures that lower forecast.

6 The second one I'm going to cover in the next
7 slide, so we'll go on to number three, transition of CHP QFs
8 to wholesale gens. We understand that the CHP industry is
9 undergoing transformation and that there's a new market for
10 CHP. Some parties believe that the viability of CHP is
11 questionable. I think everyone is in agreement that the old
12 dirty CHP units are likely to retire. So this sensitivity
13 just captures some of that downside or retirement of CHP
14 facilities.

15 Four and five, DR, I'll cover in the next slide.

16 Number six, a higher demand growth in the CEC
17 forecast. So the mid-level demand forecast is used for
18 planning purposes. And we thought we should look at a
19 higher demand forecast than what's currently in the model.
20 So we basically took a two percent higher forecast in 2024
21 than the mid-level case. And that's about half the
22 difference between the mid and high CEC demand forecasts
23 that are -- have been produced over the last two IEPR
24 cycles.

25 And then seven is the mid-AAEE savings

1 projections. As I mentioned earlier, by interagency
2 agreement for local capacity studies, the low-, mid-level
3 AAEE is used due to the locational uncertainty of the AAEE
4 savings. And some parties believe we should be more
5 aggressive in energy efficiency. So we thought we should
6 include a higher level of AAEE. So that's what that
7 sensitivity captures.

8 Then eight is RFO performance below nominal. As
9 you've heard, Edison submitted numerous small contracts to
10 the PUC for approval. This was out of their RFO
11 solicitation. And so there's a question: Will all those
12 contracts be approved, and if they're approved will all
13 they -- will all of them be developed on schedule? Will
14 they perform as expected? And so this sensitivity captures
15 some of the downside risk of that uncertainty.

16 Nine, RPS, I'll cover in the next slides.

17 And then the last two sensitivities on storage.
18 So in the baseline assumption the PUC decision isn't
19 explicitly included. ISO has indicated that they would use
20 storage as a mitigation measure if -- if they found any
21 problems. So we just wanted to include higher levels of
22 storage that basically partially meet or satisfy the PUC
23 storage decision.

24 So that's the list of the 11 sensitivities that we
25 conducted. And what I could say about coming up with the

1 data for these, that some of the sensitivities were fairly
2 straightforward to come up with, such as the mid-AAEE
3 levels, because the Energy Commission already publishes
4 those forecasts so it's easy to take that data.

5 But other uncertainties, such as the transition of
6 CHP QFs to wholesale generators, it was more difficult to
7 quantify and really hasn't been fully assessed. So we used
8 simplified assumptions to come up with sort of an at-risk
9 portion. So like for that sensitivity what we did was we
10 changed the retirement assumption from 40 years down to 35
11 years for that assumption. And so with that I know that
12 other staff at the Energy Commission are in the process of
13 trying to obtain data to do a more thorough assessment of
14 CHP.

15 So this slide gives you an example of the analysis
16 that we went through to develop the alternative assumptions.

17 We have three levels of DR. And as I mentioned, you know,
18 once the ISO identified this as a potential mitigation
19 measure we knew we needed to include, you know, that full
20 level in our model.

21 And so the first column, the effective amounts of
22 DR, what that means is effective with respect to location
23 and being quick enough to respond within 30 minutes or less.
24 And so ISO had identified eight substations in the western
25 L.A. Basin that are most effective for mitigating the

1 contingencies. And they provided that information to PUC
2 Energy Division Staff. And the Energy Division Staff
3 assisted with mapping these programs to these areas, looking
4 at response time. And so that's how the quantities of the
5 effective amounts were determined.

6 And then the full amount of DR on the far right
7 column, that's basically all of the programs, including
8 those with longer response times and in less effective
9 locations. And then the moderate case in between, we
10 basically took, I believe it was half of the less effective
11 locations and just considered half of the DR.

12 And so when the ISO mentioned this repurposing
13 concept, what they're really meaning is that they have
14 certain operational characteristics that the DR programs
15 need to meet in order to account for local capacity. And so
16 an example is that these programs need to respond within 20
17 minutes. So that's part of what this repurposing means.

18 So this slide goes over alternative AAEE
19 projections. So the first block we've got our baseline AAEE
20 projections for the low-mid case. And a recently published
21 PUC report basically an EM&V report that documents the
22 actual savings found from IOU programs implemented in 2010
23 through 2012. What we found in the those studies is that
24 the peak savings per unit of energy savings is below the
25 level assumed in developing the AAEE projections. So for

1 example, the report shows that 844 megawatt net savings were
2 achieved, whereas the gross goals were 1,537 megawatts.
3 That's a shortfall of about 45 percent. So with this
4 sensitivity we used a 40 percent reduction. It's basically
5 capturing the shortfall and peak savings.

6 And then here's another example of how we
7 developed another sensitivity. One of the questions that
8 was asked is: Is there another RPS portfolio that could
9 resolve this shortfall? I remember getting asked that
10 question.

11 So, you know, when -- the PUC and Energy
12 Commission for the past several years have produced RPS
13 portfolios and delivered them to the ISO for study. And
14 Energy Commission Staff, we've taken those RPS portfolios
15 and we've mapped them to the local areas. You know, we've
16 used latitude and longitude, sometimes wet bus ID (phonetic)
17 if we have that available, so we could see how these
18 portfolios impact the local area. And so what I found was
19 the only portfolio that would have an impact in the high DG
20 portfolio.

21 And so what you can see here, we split out DG and
22 central station renewables. And you could see, with central
23 station renewables there's not much difference in the local
24 areas. And that's because the central station renewables
25 tend to be located outside the basin. So it's the DG, all

1 of those solar PV that is bound to impact the local areas.
2 And in this case there's almost a 700 megawatt higher amount
3 by using this high DG case.

4 Okay, so now to look at some results. So this
5 chart shows the combined area, L.A. Basin and San Diego, for
6 selected sensitivities. And so, you know, as I mentioned,
7 we ran 11 different sensitivity cases. And it's hard to
8 show all of them on a chart without things getting too busy.
9 So what we did was we -- we picked the two cases that formed
10 the boundaries. So the blue line is the baseline case for
11 the combined area. And then this shows a slight deficit in
12 2021 that increases to 2024. The green line shows the
13 impact of the two percent higher demand -- peak demand case,
14 which makes the deficit worse. And then the orange line
15 shows the benefit of the mid-AAEE assumption which
16 eliminates the deficit in 2021 and we see a surplus.

17 So the sensitivities, when you look at this they
18 have -- basically have the same shape as the baseline case.

19 So there's surpluses in the early year. And we really do
20 see the impact of the OTC retirements occurring in 2021.

21 These are the results for the L.A. Basin area for
22 some selected sensitivities. This chart is a little busier
23 but still shows a range of impacts for some of the
24 sensitivities. And what I found interesting about the
25 sensitivities is that there were seven that provided upside

1 potential. But what I found was that there were only two
2 sensitivities that really eliminated the deficit in 2021.
3 And that's the DR full sensitivity which is the dark blue
4 line on cross with the crosses. And the purple line right
5 below it is the high DG sensitivity. So those two eliminate
6 the deficit in 2021 and then continue to provide a surplus
7 in the area.

8 And then the light blue line in the middle is the
9 mid-AAEE case. And that case still had a slight deficit in
10 2021 and then provides a surplus after that. So what's
11 interesting about that case, the mid-AAEE case formed a
12 boundary for the combined area. But when you look at the
13 L.A. Basin area, it isn't the case that forms the boundary
14 conditions.

15 So, you know, as I mentioned earlier when we were
16 looking at the slopes of the lines for the areas, and I
17 mentioned finding a common solution to all the areas may be
18 a little more difficult, well, this highlights that. You
19 know, you won't end up with the same sensitivities that form
20 the boundary conditions for each of the areas. It may be
21 different sensitivities.

22 And then the bottom case, the dark blue line with
23 diamonds, is the co-gen sensitivity. And what that -- by
24 changing that retirement assumption to 35 years from 40
25 years results in a loss of capacity in this latter part of

1 the study period. And that just increases the deficits that
2 we see between 2021 and 2024. So looking at this chart
3 overall we still continue to see the surpluses in the early
4 years and the impact of the OTC retirements at the end of
5 2020, leading to the decline in the surplus in 2021.

6 So just some observations from looking at the
7 sensitivities. They all seem to have a similar shape to the
8 baseline. It just seems like the results tend to move up or
9 down from the baseline case. Some -- some variables will
10 improve the surplus deficit, while other variables make
11 things worse.

12 As I mentioned, sensitivities may have different
13 impacts on the different impacts on the local area subareas.
14 That's why you'll find that certain sensitivities will form
15 a boundary for one area; it may not be the same sensitivity
16 that forms a boundary for another area.

17 And then, again, pointing out that 2021 is a
18 critical year due to the OTC retirements.

19 And then another finding that we had from
20 conducting the sensitivity analysis is that we know ISO
21 identified DR as a mitigation solution, but it also
22 highlighted that, okay, there could be other solutions, like
23 storage. So our storage sensitivities can also be a
24 potential mitigation solution.

25 Okay, so now that takes us to our scenario

1 results. So after conducting the sensitivity analysis we
2 thought about, okay, maybe we should combine multiple
3 variables together to look at the impact of multiple things
4 happening at the same time. And we recognized that some
5 combination of variables may be offsetting, like you could
6 have a lower demand forecast by using the 2014 IEPR demand
7 forecast, but that might be offset by a 40 percent reduction
8 in AAEE.

9 When we created these scenarios what we wanted to
10 do was sort of create bookends. That was our initial goal,
11 to create an optimistic bookend where we're picking
12 variables that all move in the same direction. And the
13 pessimistic bookend, you know, all the variables we picked,
14 they move all in the same direction, so that we could look
15 at a wider range of impact to the surpluses and deficits.
16 And then we came up with two in-between scenarios, markets
17 cooperate and incentives fail, that have a less extreme
18 departure from the baseline case.

19 And so in the scenario development we chose
20 certain variables to include in each scenario to create a
21 plausible scenario. But the tool is easy to use, and other
22 combinations could be developed.

23 COMMISSIONER MCALLISTER: Hey, Lana, I wanted -- I
24 wanted to chime in. I'm going to take a little bit of issue
25 with the market cooperating and not having any energy

1 efficiency in it. Energy efficiency is sort assumed to fail
2 but not assumed to actually over-deliver, for example. And
3 I understand why you chose those. But, you know, we have a
4 lot of activities on the efficiency front --

5 MS. WONG: Right.

6 COMMISSIONER MCALLISTER: -- beginning to
7 stimulate markets so that they actually do go out there and
8 generate more savings. And, in fact, there's a governor's
9 goal out there to double the savings associated with our
10 existing building programs.

11 MS. WONG: Right.

12 COMMISSIONER MCALLISTER: So -- so there are some
13 policy -- there's reasons to believe that the upside is also
14 a possibility, as well.

15 MS. WONG: Right.

16 COMMISSIONER MCALLISTER: So I wanted to just
17 point out that the scenarios -- I'd like to see the
18 scenarios including target efficiency and, you know, smart
19 ways to do that, but also, I think, in capacity needs.

20 MS. WONG: Okay. So the one thing I wanted to add
21 to the scenario development, these are variables that are on
22 top of our baseline assumptions. So the baseline assumption
23 includes the low level of -- or low-mid level of AAEE. So
24 it does have energy efficiency in it, it's just the baseline
25 assumption. So the fact that we don't have an additional

1 energy efficiency variable just means we don't have a higher
2 level than what's assumed in the baseline case.

3 COMMISSIONER MCALLISTER: No, I understand. That.
4 I guess the fact that, you know, for the low-low assessment
5 you already kind of selected a conservative --

6 MS. WONG: Uh-huh.

7 COMMISSIONER MCALLISTER: -- efficiency, you know,
8 it's not the mid-mid, it's the low-mid. But let's also look
9 at what happens if, you know, somebody figures out what the
10 special sauce is and is able to really go out there and sell
11 target efficiency that -- that works at -- on the capacity
12 front in the local -- local area, as well, and see what
13 that -- what that does.

14 MS. WONG: Okay. So I'll make a note of that. So
15 our optimistic bookend, that's certainly something that
16 could be included is including the mid-AAEE level.

17 Okay, so the first chart we're showing the surplus
18 deficits for the combined area. And so the baseline case is
19 the middle line in sort of dark blue. And so that's our
20 combined L.A. Basin-San Diego area. And then we have -- the
21 red lines are optimistic scenario. The green lines, the
22 pessimistic scenario. And the other two lines in between
23 are the markets cooperate and the incentives fail scenario
24 which are providing a narrower spread around the baseline
25 case.

1 So what we can see here is that we still, under
2 these scenarios, have surpluses in the early years. And
3 then due to the OTC retirements we see that drop off again
4 in 2020. So the surplus is reduced in 2021. The thing to
5 point out, the two upside scenarios, the optimistic and the
6 markets cooperate, that the surplus is maintained throughout
7 the latter part of the study period.

8 Let's see, the shape of the scenarios tends to be
9 the same shape as the baseline case. And pointing out
10 again, the loss of the OTC continues to dominates the
11 results in the shape of this.

12 COMMISSIONER BERBERICH: Lana, a quick question,
13 and maybe this goes back to assumptions, and I'm sure you
14 built this into the forecast. But what kind of assumptions
15 do you make around like electric vehicle charging?

16 MS. WONG: So the electrification assumptions that
17 are assumed in the base demand forecast are incorporated in
18 these results. So if you consider that the mid-level demand
19 forecast that we're using for planning purposes, that
20 includes electrification. And I believe it includes the
21 governor's goals in that forecast.

22 COMMISSIONER BERBERICH: But in the, you know,
23 particular in the L.A. Basin, I know Dr. Wallerstein has
24 some significant challenges ahead of him to reduce overall
25 emissions, put aside carbon itself. And I didn't know if

1 there were some -- you know, maybe you can comment on this,
2 on kind of what the objectives are. But clearly there's
3 going to have to be very heavy reliance on electrification
4 of transportation, particularly in the L.A. Basin. And we
5 wondered if we had the slide to that adequately there.

6 Barry, I don't know if you have any --

7 MS. WONG: Well, one note about our higher demand
8 growth sensitivity, we use a two percent higher demand
9 growth. And in part, higher electrification could be one of
10 the contributing factors to the higher growth in that
11 sensitivity. So that's something that, you know, we
12 considered when we were coming up with the higher demand
13 growth, we thought, okay, that is a plausible scenario,
14 higher electrification.

15 COMMISSIONER WALLERSTEIN: So the 2019 to 2023
16 time period is the critical time period for air quality in
17 Southern California. And we've had federal particulate and
18 ozone standards that must be met. And by 2023 we're going
19 to have to reduce the baseline NOx emissions north of
20 probably about 55 percent. And the California Air Resources
21 Board and our agency will come out with a draft plan this
22 fall.

23 And in parallel to that, CARB is developing its
24 sustainable freight strategy. And the most important
25 emissions source category for us to get clean air is what to

1 do with trucks. And so we're going to need a great deal of
2 electrification well beyond what the governor has in his
3 current goal is we're going to get to clean air, at least by
4 the way we look at the data.

5 In addition to that there is, as you probably are
6 aware, a lot of movement in the port area to electrify. And
7 so, you know, I would encourage you all to update this
8 analysis once that information is available in the fall in
9 terms of what, at least at a staff level, we think is
10 necessary.

11 MS. WONG: Uh-huh.

12 COMMISSIONER WALLERSTEIN: Because I think it's
13 going to have -- potentially have a significant impact.

14 COMMISSIONER BERBERICH: I think it could be -- I
15 think it could be -- I think it could be a bookend scenario
16 that you could look at, because I know that there are some
17 serious attainment issues in the L.A. Basin. And I'm
18 curious, you know, if you have to -- let's say you convert
19 30 percent of the transportation fleet, including the truck
20 fleet, to alternate fuels, what that would -- might look
21 like. And is it 2,000 megawatts, 3,000 megawatts? I don't
22 know.

23 COMMISSIONER MCALLISTER: So I was going to
24 suggest, to the extent you've taken the forecast sort of as
25 given, without breaking that out, maybe it would be good to

1 go back a step and break that out and then do scenarios
2 specifically on that piece. Because there, you know, there
3 is a lot of uncertainty about where the penetration is going
4 to be, just on the natural.

5 MS. WONG: Right.

6 COMMISSIONER BERBERICH: And that's driven by
7 policy in large part --

8 MS. WONG: Right.

9 COMMISSIONER BERBERICH: -- but also driven by
10 markets, and so you never quite know how that's going to pan
11 out. But those scenarios I think would be very useful.

12 MS. WONG: Right. And that's certainly something
13 we could go back and look at, like you said, breaking out
14 electrification and seeing if we could do more research on
15 coming up with an assumption that doesn't just take a broad
16 two percent higher demand growth.

17 COMMISSIONER MCALLISTER: Yeah. And that could
18 actually inform policy. It's like, oh, that scenario
19 actually makes a difference, so let's go out and try to make
20 that happen or --

21 MS. WONG: RIGHT.

22 COMMISSIONER MCALLISTER: -- that would be sort of
23 a helpful action.

24 Oh, did you want to say something, Bob?

25 CHAIR WEISENMILLER: I was just going to say

1 something very quickly and then hand it back to Barry.

2 I was just going to point out to everyone that the
3 governor's recent executive order on Sustainable Freight
4 Strategy certainly has pretty aggressive goals. It's had
5 its first meeting. But that's sort of the other aspect to
6 keep an eye on. We certainly encourage people to
7 participate in it.

8 COMMISSIONER WALLERSTEIN: I was just going to say
9 that for us this is one of those which comes first, the
10 chicken or the egg, that we may have vehicle technologies
11 available but not have the proper infrastructure for the
12 electrification that is needed to support those
13 technologies. And so it's critical to us that this part of
14 it gets taken care of. And it's something that my governing
15 Board has been very, very concerned about in terms of
16 continued investment in electric-based vehicle technology,
17 as opposed to supporting things like natural gas vehicle
18 technology.

19 COMMISSIONER MCALLISTER: I remember -- I remember
20 your plan and how controversial it was with respect to
21 electrification. So you're going to have to visit that in
22 Part B, maybe. Okay.

23 Any questions? Okay.

24 Go ahead. Are you --

25 MS. WONG: Okay. Just wanted to mention that I

1 drive an electric car, so I'm doing my part. Okay, I'm not
2 in the L.A. Basin area. I'm the Sacramento area. But --
3 okay.

4 So this chart shows the surplus deficits for the
5 L.A. Basin area. And again, we see the surpluses in the
6 early years. And then the drop off in 2020 due to the OTC
7 compliance. And we see that impact in 2021, that 2021 is
8 still a critical year. And so again, we could see for L.A.
9 Basin that upward sloping trajectory for the baseline
10 results in the middle. You know, it's driven by the ramping
11 of AAEE.

12 So just like in the combined area, changing the
13 assumptions tends to move the results up or down from the
14 baseline case. But the scenarios tend to have the same
15 shape as the baseline.

16 And then the last chart we have for San Diego.
17 And so for the San Diego area, again we include the loss of
18 Encina at the end of 2017 and Carlsbad coming online. But
19 there are surpluses in the San Diego subarea that
20 essentially decline due to load growth and fewer resources
21 being added. What's interesting about the two pessimistic
22 scenarios, the pessimistic and the incentives fail scenario,
23 what those two cases do is it moves the slight deficit in
24 2024 that we saw in the baseline study, it moves it earlier
25 to the 2022 timeframe.

1 So this is a table that's just showing you the
2 range for the optimistic and pessimistic cases. So you can
3 see the numbers, like how wide the range it. So, you know,
4 we're really created these bookend cases for the optimistic
5 and pessimistic case. You know, the optimistic case is
6 providing 1,400 megawatts of upside potential, while the
7 pessimistic case has around a 1,700 megawatt downside
8 potential. And then the two scenarios in the middle, the
9 markets cooperate and incentives fail, are -- are basically
10 in between.

11 So what did we find by conducting the scenario
12 analysis and comparing it to the baseline? That basically
13 none of the scenarios show a departure from the baseline
14 case. You know, the shapes tend to be the same. 2021 is
15 still a critical year. The bookend cases have a wide range.

16 And the last thing to note is LCAAT is simpler to
17 run than a full power flow model assessment. And, you know,
18 coming up with other scenarios would be easy to do. And I
19 say that, given the -- using the sensitivities that we've
20 created. But as mentioned, if we do an electrification
21 sensitivity, that would actually be doing some research on
22 electrification, coming up with a plausible set of
23 assumptions, and then sort of enhancing the model to add
24 that sensitivity to it.

25 So that concludes my presentation. I'm going to

1 turn it over, back to Mike Jaske for findings and
2 conclusions.

3 COMMISSIONER BERBERICH: May I -- may I ask you
4 one final question?

5 MS. WONG: Sure.

6 COMMISSIONER BERBERICH: I know these are not
7 power flow models. Is there -- sorry I didn't follow this
8 earlier -- is there some plan to run power flows on this to
9 see how they might depart or --

10 MS. WONG: Well, so, you know, the idea of LCAAT
11 as a screening tool, the snapshot years are based on the
12 power flow modeling results. So 2015, '19, 2024 are based
13 on power flow model results. And then the intermediate
14 years we've created the results in the data to build out the
15 intervening years.

16 We consider this a screening tool that if you look
17 at the results that have been created for the intermediate
18 years, if you see something that is a red flag or sending
19 you a warning signal, that's where we would go back and say,
20 you know, we're finding that 2021 is a critical year and we
21 should go back and do power flow assessment. So that's how
22 this was --

23 COMMISSIONER BERBERICH: But you do have -- you do
24 you have snapshot years through this where --

25 MS. WONG: Yes.

1 COMMISSIONER BERBERICH: -- you have run power
2 flows?

3 MS. WONG: Right. Exactly.

4 COMMISSIONER BERBERICH: Did you run power flows
5 on all the scenarios?

6 MS. WONG: No.

7 COMMISSIONER BERBERICH: Just the base?

8 MS. WONG: Right, the baseline set of assumptions.
9 And so the caveat there is there isn't power flow
10 assessments for all the sensitivities. I think if you
11 looked at every single year and every single sensitivity, I
12 mean, that would be like 150 cases which -- or something
13 like that, which we know is just impossible to run power
14 flow.

15 COMMISSIONER BERBERICH: And I'm not, again, I'm
16 not offering to run power flow.

17 MS. WONG: I know.

18 COMMISSIONER BERBERICH: I'm just making sure I
19 understood it --

20 MS. WONG: Yes.

21 COMMISSIONER BERBERICH: -- where we were on that.

22

23 MS. WONG: And so probably what --

24 COMMISSIONER BERBERICH: Because, you know, the
25 spreadsheets I think gives you data points, but it doesn't

1 necessarily mean you can electrify it, which is something we
2 need to make sure everybody understands.

3 MS. WONG: Right. Right. Exactly. You know,
4 that if there's a warning sign about a particular year, that
5 we should go back and run power flow models. And as I
6 understand it, ISO is planning to run 2021 which I think,
7 you know, our results are showing that that is a critical
8 year with the OTC retirements.

9 COMMISSIONER BERBERICH: Is that right, Bob?

10 CHAIR WEISENMILLER: Yes.

11 COMMISSIONER BERBERICH: Thank you.

12 MS. WONG: Okay.

13 CHAIR WEISENMILLER: So I had a question which
14 maybe either one of you could -- one of the -- the other
15 part that's in the model is looking at the data on sort of
16 substation loads and giving us a way to see basically what's
17 going on out there, sort of looking at load growth, net of,
18 you know, DG and everything else. And I just thought it
19 would be good if you or Mike could give sort of a simple
20 summary on where we seem to stand at this point in this --
21 in this soft footprint area.

22 MR. JASKE: Okay. So having more granular and
23 more immediately available load data was thought to be an
24 important method of essentially monitoring what's going on.
25 And obviously those data all by themselves don't explain why

1 you get what you get. But if they are different than the
2 forecast in the short-run period, that's a subject of
3 concern and needs investigation.

4 So we have arranged to get all of the individual
5 substation data from Edison and San Diego on an hourly
6 basis. And we had -- already had some history from -- from
7 Edison. So we went back and got also a number of years of
8 history from San Diego. We're now getting hourly interval
9 data every quarter, lag 30 days. So our initial -- and
10 we've been doing that essentially for a year now. So we
11 have paid some attention to the Edison data. And we are
12 focusing in particular on Orange County, given its previous
13 identification of being important. And so far we are not
14 finding anything that seems grossly at odds with the
15 forecast.

16 So the comments that Caroline McAndrews made
17 earlier today, that Orange County is growing a little bit
18 faster than the rest of the L.A. Basin, that seems to be
19 showing up in these data. And there's, you know,
20 variability among the substations in terms of when they're
21 peaking, what days they're peaking, you know, they peak at
22 different hours. So it -- which reflects different mixtures
23 of residential-commercial-industrial customers.

24 So we're not using that data directly in LCAAT at
25 this time. But it's -- we're massaging it and trying to

1 come up with supplemental explanatory variables for those
2 particular individual substations or groups of them that
3 would explain this differential growth rate. But we're sort
4 of doing that at this point in parallel with LCAAT, not
5 directly in LCAAT.

6 CHAIR WEISENMILLER: No, that's good.

7 I think the one thing I just want to have here on
8 the record, I'd ask Ms. Kito, we already knew about what was
9 going on in terms of all the additional energy efficiency
10 load growth. And just to the extent we're looking at sort
11 of the net and keeping an eye on that, that that's important
12 for us as we try to track how nervous we should or shouldn't
13 be.

14 MR. JASKE: There are some ways that the PUC staff
15 has been working to produce granular results of the normal
16 EM&V evaluation process. But I don't know that it's yet
17 gotten to the stage where it's linked to -- or aggregated by
18 substations. I think it's groups at SIC codes at this
19 point. So there's -- that's another source of data that
20 could be brought to bear to help explain. Ok

21 So two short sections to wind up this
22 presentation, and then any concluding questions you'll have.

23 So we had findings and conclusions about the LCAAT
24 tool itself. And I think Ms. Wong has pretty much
25 identified, you know, all of these, that -- that these

1 baseline results are consistent, at least in the individual
2 study years, with ISO power flow study results, which they
3 should be since that's where the LCR values come from. We
4 have, of course, several times identified this '21 out to
5 '24 period for all of the areas that involve L.A. Basin, and
6 that San Diego is different, and that alternative
7 assumptions can either eliminate those deficits or increase
8 the surpluses, depending on which ones.

9 So I think the way we would characterize what we
10 would found with using LCAAT is that these deficits are a
11 source of concern, they're not a source of alarm. There are
12 identified things that could be pursued that would resolve
13 these deficits. The ISO, you know, in its 2024 analysis
14 itself did that very thing. They -- they sort of bridged
15 the gap by talking about repurposing DR. Storage is another
16 option. Several other things, you know, could be done
17 individually or in combination.

18 And so when this was written we did not know that
19 the ISO was going to say that it was going to do a 2021
20 power flow study. I only heard that late last week when the
21 ISO's slides were produced. Our information heretofore had
22 been the ISO was going to study 2020. And we were urging
23 them separately to do 2021 because of what we had been
24 finding. We're very happy to hear that the ISO is agreeing
25 to do 2021. And we'll be happy to help them, you know,

1 assemble inputs for that year, should they require any
2 assistance from us.

3 We think the PUC needs to think about the local
4 capacity issue in this time horizon, five to eight years
5 forward, and not just focus exclusively on ten years forward
6 as if there's no problem because here and ten years out,
7 because we at least, you know, have some reason to believe
8 things are not fully satisfactory in those intermediate
9 years.

10 And the Joint Reliability Plan proceeding,
11 although it didn't move forward with Track 1 to require the
12 RA process to move out to years two and three as a mandatory
13 obligation, the Track 2 process, although not very visible,
14 is I think continuing. And this tool that we've developed,
15 particularly if expanded to the other local areas, you know,
16 could be an adjunct to that whole Track 2 effort. So we
17 have been keeping the Energy Division staff working on track
18 two informed. And, in fact, we've given them our report a
19 week or more ago.

20 And finally, of course it's critical that we
21 monitor all these demand-side savings and use realistic
22 ranges of assumptions. And if, in fact, it's credible to
23 say that AAEE could fall short, we need to either be
24 refuting that by newer EM&V results or figuring out how to
25 strengthen programs so that we can actually achieve that or

1 higher levels.

2 So one very last little section on how we might
3 then use this tool to trigger mitigation. I think you've
4 heard us probably say throughout this presentation that
5 we're -- we've now got this tool. We're going to update it
6 and run it periodically. We'll update it and run it if some
7 kind of new significant information becomes available.
8 We're going to communicate these results to the staff of the
9 other agencies that we're in close contact with through this
10 overall Southern California Reliability Project. If we find
11 deficits, as we have now found, we're going to see if
12 there's any other independent sources of information that
13 can help inform a decision. The ideas that we would brief,
14 the managements of the agency through the energy principals,
15 requests to ISO to conduct a power flow study if they
16 haven't already agreed to one, and in this instance it looks
17 like they have. And then provide, you know, those powerful
18 results in the right package to the principals that will
19 then lead to individual agencies deciding how to pursue any
20 appropriate course of action.

21 And this is a slide with these two separate sides
22 that give you an idea how the two different tools that we
23 have been talking about and that I will get into in more
24 detail in the next presentation, how we might choose among
25 them using these results.

1 So on the left-hand panel, this chart is showing
2 the same basic pattern of -- what color do you have -- dark
3 blue is the original LCR results. The green is the modified
4 ones by virtue of transmission upgrades and load modifier
5 effects on LCR requirements. The purple-ish line which has
6 a steep plunge in '21 shows the deficit in that one year and
7 then bounces up and stays above the green line.

8 If you go over to the right-hand panel, that's the
9 kind of projection that would say perhaps an OTC plant
10 deferral is the right mitigation. There's only a one-year
11 issue. You might delay that deferral or that compliance for
12 a project by one year, solve your problem, and not invest in
13 a bunch of hardware that is only needed in one year.

14 In contrast, the red line shows a case where that
15 is that same steep plunge, it goes a little deeper and then
16 stays below. And so that might be the kind of instance
17 where if power flow studies confirmed it we might actually
18 have a much more serious problem and might actually want to
19 consider a new generating facility.

20 So that's the way in which this kind of analytic
21 tool can help in the process of choosing between different
22 kinds of mitigation measures. So whether it's large or
23 small amounts, whether it's a limited amount of time, and
24 perhaps also the particular area in which the deficit is to
25 occur. And I think I've probably mentioned all these other

1 things that would be taken into account.

2 So that's the end of our presentation on the
3 projection tool. Are there any questions?

4 COMMISSIONER MCALLISTER: So I think we have to
5 move on.

6 MR. JASKE: All right. There are a few from the
7 audience, so I will -- that have been chatted in, shall we
8 say.

9 So Micah Berry of Chevron asked,
10 "Does the base load forecast account for electric
11 vehicle demand growth consistent with CARB and the
12 governor's forecast?"

13 This base level forecast from the 2014 IEPR, I
14 believe had 1 million electric vehicles. That's not
15 consistent with the governor's new goal of major reduction
16 in transportation emission. So things have evolved from the
17 period of time of the 2013 IEPR to where policymakers are
18 now moving the ball right now.

19 Some more technical questions from Jaleh Firouz
20 who, by the way, is a consultant to the city of Redondo
21 Beach in numerous activities at the PUC.

22 "Since the load forecast used in the study is one-
23 in-ten, which means the higher load could possibly only
24 occur one year out of the next ten years, what's the
25 justification for assuming higher load sensitivity? Isn't

1 that building conservatism on conservatism into the
2 assumptions? Shouldn't -- shouldn't an alternative
3 sensitivities be a lower load forecast than the one-in-ten?"

4 My answer is that there's a lot of policy
5 initiatives pushing toward lower load. We wanted to test
6 the consequence of higher load, and we picked two percent
7 just, you know, as a starting point without any kind of real
8 attribution as to what caused it. And the dialogue here is
9 identified, a variety of things that one can name and then
10 perhaps try to quantify their actual specific inputs or
11 consequences. That's probably for a next round of study.

12 And another perhaps more comment from Ms. Firouz,

13 "It's not reasonable to call a case that has a
14 one-in-ten load forecast as a base scenario. That case is
15 already a pessimistic scenario."

16 I think I disagree. If I understand the ISO's
17 practice of a one-in-ten load forecast and two overlapping
18 contingencies, that's a method of satisfying FERC and NERC
19 planning standards. So in that context this one-in-ten
20 forecast is the appropriate assumption to use. And one can
21 imagine a worse forecast than that, maybe a 1-in-15 or a 1-
22 in-20, as well as a less stringent one.

23 And finally, another comment from Ms. Firouz,

24 "Through the use of real-time pricing, couldn't
25 peak load be shifted to non-peak hours, thus reducing the

1 peak forecast?"

2 Yes, clearly that's true. And in the current 2015
3 IEPR cycle, that very question of electric vehicle load and
4 charging is being investigated.

5 Again, from Ms. Firouz,

6 "The baseline is supposed to show the expected
7 case. The expected case should be based on the expected
8 load forecast, not on a one-in-ten load forecast. A one-in-
9 two load forecast is used in optimistic or pessimistic
10 scenarios could be built around that."

11 Again, I disagree. The essence of the NERC and
12 WECC standard is that you're supposed to have adverse load,
13 not -- not expected.

14 CHAIR WEISENMILLER: You know, that's been asked
15 and answered.

16 MR. JASKE: Okay.

17 CHAIR WEISENMILLER: So let's move on.

18 MS. RAITT: So we have another presentation from
19 Mike Jaske.

20 COMMISSIONER MCALLISTER: I'm going to ask you to
21 be as quick you can here. That last presentation was only
22 scheduled for half-an-hour, it went a quite bit longer than
23 that. So we're now running quite a bit longer.

24 MR. JASKE: Okay. I will try to satisfy that
25 direction.

1 So we're here to talk about developing these
2 contingency mitigation measures. Some terminology, you can
3 read the terminology for yourself. The whole context of
4 this is that we're doing this enhanced monitoring, we're
5 doing the kind of assessment that I've just described in the
6 previous presentation. We're trying to understand where
7 we're headed. If those kind of analytic tools suggest we
8 end up with problems, we need to have -- or the idea is to
9 have measures that are on the shelf, ready to be triggered.
10 And the two that we're going to talk about here are OTC
11 deferral and new conventional generation.

12 First, OTC deferral. So the OTC policy itself
13 recognizes the possibility of needing to shift compliance
14 dates. And so it builds into the policy two forms of
15 deferral, a 90-day kind of an emergency that the ISO can
16 trigger, provided the Energy Commission and PUC don't
17 object. And then if there are proposals for longer delays,
18 then that goes through the independent body called SACCWIS
19 which is the Statewide Advisory Committee on Cooling Water
20 Intake Structures. And SACCWIS has representatives of six
21 state agencies, as well as the ISO, so seven body -- or
22 persons on this body. And it's to review specific requests
23 and provide a progress report at least annually to the Water
24 Board. And the Water Board will choose how to respond. But
25 the policy says the Water Board will give it considerable

1 weight if the Energy Commission and the PUC don't object.

2 So it calls for a method of dealing with disagreement among
3 SACCWIS.

4 So we've -- Mr. Bishop made a fairly complete
5 description orally at the workshop a year ago. And we have
6 talked with Water Board staff and Mr. Bishop a number of
7 times since then and we have tried to pull together more
8 specifically how this whole OTC deferral process would work.

9 And these five items are sort of the key things that he
10 identified a year ago and we fleshed out a bit more how they
11 might work.

12 So specificity, you need -- from the Water Board
13 perspective receiving a deferral request, they want it to be
14 specific. They want to know what unit you're talking about.
15 They want to know the rationale. They want to know why it
16 is -- you're coming to the Water Board for deferral versus
17 not doing something else. They want to know how compliance
18 will eventually be assured. They don't want a request that
19 just says, well, we need to defer things three or four years
20 until we sort it out. They want to have a proposed solution
21 brought to them. We're asking for deferral for two years
22 for this specific plant for this reason, and at the end of
23 two years this will be the solution.

24 Of course, since the OTC policy incorporates this
25 whole SACCWIS process, they would like the SACCWIS to be

1 used, not some other mechanism. They want the -- any such
2 deferral requests to be timely. They don't want it to come
3 at the last second so they're, you know, feeling pressure to
4 engage in excessively rapid decision making. Maybe they're
5 tired of doing that as a result of all the water
6 conservation efforts they're having to do.

7 And there are consequences built into the policy.
8 I believe the first time the dates were amended was this
9 notion that if you -- if you push them past '22, 2022, then
10 you have to do something more than what the original policy
11 called for. So you're going to -- you have to be careful
12 about what you ask for.

13 And I -- personally I think the assure compliance,
14 you know, is the -- is the most critical of all of these.
15 They -- from all the conversations we've had, they really do
16 not want to be put in a spot of saying, yes, we'll delay it
17 for some indefinite period for some vague policy outcome.
18 No. We've been at this for a number of years. We owe it to
19 them to be specific.

20 So this is the timeline that we've worked out with
21 the Water Board staff. The first step here has quite a
22 large range of what amount of time it might take. And it
23 really is all pre going to SACCWIS. And it's on -- probably
24 on the shoulders of the agency staffs to be doing this work
25 if there's new analyses required.

1 Once it gets to be a proposal and goes from the
2 technical staff of the agencies to SACCWIS, then there's all
3 these steps that follow. And they will take roughly a year,
4 could be accelerated a little bit if need be. But that's
5 the kind of process that the Water Board would like to
6 follow so as to give an opportunity to all the effected
7 stakeholders to have their say along the way.

8 I think there are really two issues, and the last
9 is probably the most important. But the first one is how
10 far ahead of the official compliance dates should we really
11 be making such a request? Some instances I think it's going
12 to be clear that there's a problem and we could communicate
13 that there's a problem, but we don't yet know what the
14 solution is. So if you were to convey a request early you
15 wouldn't really be able to so clearly satisfy that assurance
16 requirement that we've been talking about. If you wait a
17 little bit longer then you might well have an opportunity to
18 understand what exactly that deferral date or how that
19 ultimate compliance will be satisfied, but that will chew up
20 some time. So that's the issue we may still need to wrestle
21 with.

22 More importantly is who's submitting a deferral
23 request? We've had deferral requests initiated by the
24 owner-operator in the case of LADWP. We haven't had any
25 initiated by anyone else. Most of how the SACCWIS processes

1 work to date, it's the technical staff of the agencies sort
2 of going through and trying to assess whether any of these
3 facilities, you know, is an issue, and so there's -- there's
4 a request initiated by the agencies. And it's not
5 completely clear in all instances how the owner-operator of
6 a facility might like or not like in such a deferral
7 request. So that's a loose end that needs some further
8 thinking.

9 Are there any questions about this OTC issue
10 before I move on to --

11 COMMISSIONER BISHOP: No. I think you did a good
12 job of summarizing our discussion over the last year.

13 MR. JASKE: Thank you.

14 Okay, so the new generation option. So in
15 thinking about how you might have new generation in a
16 contingency mode, Michele Kito this morning identified that
17 the key PUC procurement decision allows Edison and San Diego
18 to have contingent projects. It lays out a bunch of
19 questions that would have to be asked, presumably in an
20 application or some other filing to the PUC. And of course
21 then the whole kind of approval process, we presumably want,
22 in thinking about how to design new generation mitigation
23 measures to minimize the amount of elapsed time from when
24 you actually decide you want to trigger this option to when
25 it's operational, because if you don't do that then that

1 means you're relying on further out, you know, lead time on
2 your analytics and they're sort of inherently fuzzy.

3 You have to deal with cost recovery for project
4 design and permitting costs. And if you're permitting
5 something and then you're going to put it on your shelf and
6 not ever hope that you'll never build it, who's going to get
7 paid for doing all that work? Presumably the one doing it
8 wants to be paid.

9 You want to think about market power for whatever
10 projects might be involved or would respond to an RFO.

11 And you want, of course, the project that's
12 waiting to be triggered to satisfy whatever the reliability
13 problem is that you've identified. And if you have one or
14 two things on the shelf, given their location and their
15 design they may not be the optimal solution. So how can you
16 deal with designing things, given these considerations?

17 You've got three options that we've identified so
18 far.

19 The utility does an RFO and puts the burden on the
20 developers to come forward with proposals. And I think, in
21 part, the utilities are interested in this from the
22 perspective that it puts some burden on the developer to say
23 how to allow the costs between the sort of slump-cost part
24 of designing and permitting and getting a PPA for a project
25 that might never be built versus then if it is built, how do

1 you pay -- figure out what to pay it, because in a normal
2 project all that stuff gets rolled together in a single
3 financial transaction.

4 Option two, the utility itself pushing the project
5 into the permitting and process. And only when it's
6 triggered you turn it over to a developer.

7 And option there is -- which is a new one that we
8 have only identified in the last few months, which is to
9 rely on a pool of projects that are already permitted but
10 that don't have PPAs. And Roger Johnson this morning
11 identified that there may well be some of those in the
12 pipeline in the next few months, and more later.

13 So the essence -- I'm going to have three slides
14 that go through each of those in a little bit more detail.
15 There are really two stages to each of these options.
16 There's the stage where you're developing the measure, and
17 then the stage where you're implementing the measure if you
18 ever decide you need to.

19 So the first option, the utility RFO option. The
20 utility issues an RFO. They get proposals. They choose a
21 developer. The developer is the one that initiates
22 permitting. The utility submits some kind of a PPA, maybe a
23 two-stage PPA to the PUC. The agencies process that permit
24 and the PPA as far as they can go. And we're going to find
25 out from the Air District people later this afternoon some

1 issues about the permitting side of that and what that line
2 is between as far as you can go and a final permit.

3 In stage two, if it's ever triggered, then the
4 project has to finalize its permit, finalize its PPA if not
5 already done so in some contingently approved manner. And
6 when those two things have been approved using, you know,
7 the normal processes at the Energy Commission and the PUC,
8 then the project gets its go-ahead and it gets constructed.

9 Option two, keep the developer community out of
10 the game initially. The utility designs the project. They
11 select a site. They initiate the permitting and some kind
12 of PPA dialogue with the PUC. Those processes carry
13 themselves out as far as they can go. And then that sort of
14 sits on the shelf, waiting to be triggered. If it's
15 triggered then -- then utility brings utility brings the
16 developer community in by saying we have this partially
17 permitted project. You know, who wants to carry it to
18 fruition. They get bids. Developer may need to tweak that
19 project design, so there's a little extra time for this
20 option because of that step. The developer submits the
21 proposed project into the permitting process to be finalized
22 and to get a final PPA. And if both of those are approved,
23 then the project goes forward.

24 The third option, of course, is quite different.
25 There isn't a stage one that already require -- that is

1 going part of the way through the permitting process. The
2 essence of this option is to rely upon the fact that
3 developers have already got projects permitted and that
4 they've already invested money into a project. So we simply
5 monitor what this pool of projects are. And because of the
6 aging of permits and the need -- and the issues that the Air
7 Districts will tell us about in a few minutes of permits
8 getting stale or maybe having, in fact, finite lifetimes,
9 perhaps with renewal and other kinds of updating, they --
10 this pool of potentially useful projects may change over
11 time, may have new additions and it may have dropouts.

12 If it's ever -- any of these projects are needed
13 because of the analytics, then the utility uses some RFO
14 process to select from among the pool. The developer
15 submits whatever it needs to, to get the project permitted
16 at the Energy Commission or other agencies. The utility
17 submits a PPA to the PUC. And then again, if both are
18 approved the project can go forward.

19 This is a chart that tries to compare these three.
20 So there's three columns of -- one for each of the three
21 options. A variety of attributes. Not -- there's no clear
22 winner here. There's pluses and minuses from each of these
23 perspectives. And the -- and the staff paper that Ms. Wong
24 and I authored that's on Energy Commission IEPR website, you
25 know, goes through this all in more detail, of course.

1 But important is that there are differences, even
2 in the stage two time for approval and construction. So for
3 example, that's the least amount of time it would take to,
4 once triggered, get the project through all the final
5 approval and physical construction so it would be online.
6 So we're having to be projecting forward at least three to
7 four-and-a-half years to be consistent with -- with these
8 lead times, and probably more than that. There's a bunch of
9 differences in all these other things.

10 And let me point your attention to the very last
11 row, which is the amount of time to develop the option
12 itself, not to trigger and construct it but just to develop
13 it. There's a lot of months to do options one and two to
14 carry them part of the way through the process. For option
15 three we don't have that. So we can have option three as a
16 viable mitigation measure somewhere in early 2016, most
17 likely. Not so for options one and two. A big difference
18 there.

19 So what are the next steps? We'd be pleased to
20 receive input from stakeholders today and through the
21 comment process. The staffs of agencies will, of course, be
22 consulting among each other about where to go and making a
23 recommendation at some appropriate appoint to the energy
24 principals. And depending on what they decide there will be
25 some effort to convert one of these options or something

1 else into a real mitigation measure so we actually have a
2 tangible option.

3 Questions?

4 CHAIR WEISENMILLER: Yeah. Well, first I wanted
5 to thank both of you for the analysis here. I think
6 obviously one thing we've always been doing is trying to
7 make sure we're tracking what's going on, and we have
8 contingency planning. I think I'll make a few statements.
9 I think in the interest of catching up on schedule, I'll
10 probably not ask too many questions.

11 But in terms of statements I'm just going to say,
12 first, certainly your analysis shows that the future is
13 pretty uncertain. I was going to remark back to when I
14 think back on the Sunrise Transmission Line siting case, a
15 few of the scenarios -- there were dozens of scenarios
16 literally done. There was no scenario that ever considered
17 no SONGS, which obviously is the thing that has made Mr.
18 Avery look like a genius, you know, in that case. And at
19 the same time there was no scenario that really took into
20 account what photovoltaic costs were.

21 MR. JASKE: Uh-huh.

22 CHAIR WEISENMILLER: So having said that, I think
23 it's pretty clear that it's important to look across a wide
24 range of things, which you've done. And it's important for
25 us to keep monitoring things. But certainly none of the

1 forecasts per day to date sort of allow any cause for
2 concern or us trying to start scrambling to do anything on
3 the resource side.

4 I think you sort of framed initially the two
5 choices. One is, as you said, there's a short window, you
6 know, some sort of once-through cooling delay. I think I
7 tend to personally put -- believe very strong that we should
8 comply with the Water Board's standards in moving forward,
9 so it's a pretty high threshold. And frankly, a lot of
10 these plants are pretty old.

11 MR. JASKE: Uh-huh.

12 CHAIR WEISENMILLER: So again, if it's a very
13 short delay, that's one thing. But, you know, thinking that
14 some of these plants were built between '59 and '73. So by
15 2015 they were already pretty old, if not reliability
16 challenged. By 2020 they certainly make me more nervous.
17 And by 2025, you know, again, it's not a good idea.

18 So that gets you back to what one might do. And
19 certainly in the comments, if people have specific ideas on
20 cleaner projects than peakers, again, we'd like to get those
21 comments. Realizing the reality is peakers run about five
22 percent of the time. So that a lot of our more typical 24/7
23 resources, if you run back in frequently the cost could be
24 pretty amazing. And you're also assuming, even with these
25 long lead times, that we don't need a transmission line. So

1 if we were to need a transmission line along with a project,
2 you could be adding another ten years. So again, for some
3 kind of fast-acting backup, adding a transmission line on
4 top doesn't really get us there.

5 So -- but again, I really want to encourage people
6 to think about some of the options. And certainly, as I
7 said, if we're going to be having these sort of annual
8 meetings, and I, you know, assume over time more options are
9 going to come up. And certainly storage costs are going to
10 come down. A bunch of other options will really become much
11 more the mix as we go forward in terms of potential
12 contingency plans. And, you know, hopefully technology
13 choices will be good.

14 But again, I just want to emphasize to people, the
15 future is very uncertain. Certainly based upon today's
16 conversations there's no -- you know, there's no need for
17 panic. But, you know, again be ready -- suggestions are
18 appreciated, and we'll be back again next year.

19 So again, thanks for both of your work.

20 COMMISSIONER WALLERSTEIN: Can I ask a question?

21 COMMISSIONER MCALLISTER: Sure.

22 COMMISSIONER WALLERSTEIN: I've been very struck
23 by the last two presentations as relates to how we do
24 contingency planning in the air pollution world. And we
25 have a defined set of measures and we work up those

1 measures, and then they get triggered by various mechanisms.

2 But I'm wondering whether or not the CEC has a
3 matrix or could put together a matrix of the no-pollution
4 options and various key parameters related to those options
5 like cost and time and so on, and kind of update that matrix
6 annually so that as you move to a point where you feel
7 something needs to be triggered, that it's all sitting there
8 or you as Commissioners to make your decision and to do it
9 in a fashion that obviously takes into consideration a local
10 air plan, what the governor and CARB are going to do on --
11 with you all on the scoping plan, and an interim GHG target
12 between 2020 and 2050 so that -- you know, for me it's not a
13 lot of time when I think they're talking six years from now.

14 CHAIR WEISENMILLER: Yeah, right.

15 COMMISSIONER WALLERSTEIN: And we have to go
16 through public process and do everything.

17 So I would just encourage us to have something
18 that's a living document that's moving forward, because
19 otherwise the fallback is simply going to be the request and
20 extension of the OTC.

21 CHAIR WEISENMILLER: Now that, that's a very good
22 idea. We should do that.

23 I think the other -- the other basic message here
24 is I think the last time we looked at maybe we would have a
25 peaker and preferred resources. I think what we concluded

1 is we were going to keep our foot to the metal on preferred
2 resources, and the notion somehow we would hold them off
3 until we might need them later. Because the more we do them
4 now the less likely we get to contingency plans; right?

5 COMMISSIONER WALLERSTEIN: Yeah. I had thought of
6 that.

7 CHAIR WEISENMILLER: Yeah.

8 COMMISSIONER WALLERSTEIN: And you don't want to
9 take the foot off the pedal. But you also don't want to
10 find yourself on the other end.

11 CHAIR WEISENMILLER: Yeah. So, yeah.

12 COMMISSIONER MCALLISTER: You're advising us to
13 basic create a brighter line where we know, okay, well,
14 we -- these conditions have been met, therefore we should
15 try to move forward with the delay, or sort of make it clear
16 what the criteria actually are?

17 COMMISSIONER WALLERSTEIN: There are so many
18 things that you all have to line up here. And the
19 consequences of not getting it right ultimately are so
20 severe that to me you invest more up front, and that's a
21 cost of frankly doing societies business properly. And when
22 I look at -- and I'm making arguments at CARB about the
23 Greenhouse Gas Reduction Fund and how those monies are
24 spent. And I'd like to see them -- and my board would like
25 to see them spent a little differently. Some of this could

1 and should be part of that as you integrate what the state
2 is doing on GHG with this element, in my view. Because
3 you're talking about investing in the future of the state,
4 is what we're really talking about.

5 COMMISSIONER MCALLISTER: Yes, Michael?

6 COMMISSIONER FLORIO: Well, I do find the analysis
7 somewhat sobering. I thought we were in better shape than
8 these numbers are showing that we are. And certainly there
9 are a lot of things in the works that we hope will pan out.
10 But, you know, these numbers don't give me a great deal of
11 confidence about that.

12 One factor that does give me some confidence is
13 that -- and I'm just repeating what was in the record of one
14 of our proceedings -- there was some suggestion in the
15 Edison RFO that more energy storage might have been cost
16 effective, but there were a number of barriers that led
17 Edison to conclude that they should limit the in-front-of-
18 the-meter storage to 100 megawatts. And that's a contested
19 issue in that proceeding. But storage is certainly
20 something that doesn't take, you know, three-and-a-half to
21 five years to deploy. So we do have some comfort there, but
22 it does -- all of this leads me to think that maybe we went
23 a little short when we did our authorizations.

24 MR. JASKE: Well, Mr. Florio, Commissioner Florio,
25 I think just to reiterate from a slightly different angle

1 your point, there are, at least for storage and DR --

2 COMMISSIONER FLORIO: Yeah.

3 MR. JASKE: -- ongoing proceedings at the PUC that
4 would cause these higher levels to come forward.

5 COMMISSIONER FLORIO: Right.

6 MR. JASKE: And perhaps we're in a circumstance
7 where this kind of analysis can help give some guidance to
8 those proceedings at the PUC so that they understand better
9 the timeframe --

10 COMMISSIONER FLORIO: Yeah.

11 MR. JASKE: -- in which it needs to be on the --
12 operational. That guidance may not exist so much --

13 COMMISSIONER FLORIO: Yeah.

14 MR. JASKE: -- the way the proceedings are
15 organized.

16 COMMISSIONER FLORIO: Yeah.

17 MR. JASKE: So that's another way we can achieve
18 mitigation.

19 COMMISSIONER FLORIO: Yeah. Well, we're certainly
20 trying to put the pedal to the metal on demand response but
21 it's, you know, challenging.

22 COMMISSIONER MCALLISTER: Yeah. So I guess I
23 wanted to just build on that general idea. You know, again,
24 okay, storage has some barriers. So maybe it wasn't quite
25 ready for prime time. So Edison sort of used -- is going to

1 look at this 100 megawatt experience, learn from it and
2 hopefully be able to scale it. And you can say the same
3 kind of thing about DR efficiency. As we do things
4 different -- differently we could hopefully learn and give a
5 scale.

6 So, you know, there's a little bit of a chicken-
7 and-egg problem here where, you know, if we -- if we kind
8 of -- if we're not sure that they're going to substitute in
9 some meaningful way from traditional resources, then we kind
10 of have to do both. And so, you know, that's not -- that's
11 not a true optimization.

12 COMMISSIONER FLORIO: Correct.

13 COMMISSIONER MCALLISTER: So, you know, I continue
14 to feel like we need to develop the analytical tools and
15 really look at each of those barriers. Say in demand
16 response it's the market issues that are associated with
17 demand response. So we need to solve those and then enable
18 the technology that already exists to come through for all
19 those services.

20 Storage is in a little bit of a different arena.
21 You know, I think people are more comfortable that it could
22 work because it's kind of a more centralized sort of
23 approach. But the technology and cost issues have to be
24 fixed.

25 Efficiency is a whole different set of issues;

1 right? We've got markets. We've got lots of third parties
2 out there that are service providers. But the dynamic
3 overall, I think you could draw some analogies that
4 depending on the kind of resource you're looking at,
5 accounting for it and quantifying it requires more sort of
6 analytical tools and underpinning data than the traditional
7 utility and business model would normally assume.

8 And so I think that I just keep hearing this
9 theme. And I just feel like, okay, let's identify the
10 barriers and let's go after them and let's really
11 proactively try to solve those -- those problems so that we
12 can actually put the pieces of the puzzle together in a way
13 that does truly favor our resources as much as we can.

14 So anyway, I'll get off my soapbox. But I'm
15 seeing some head nodding, and so that's good.

16 So we're a little bit behind schedule.

17 Thanks a lot, Mike. I appreciate you speeding it
18 up a bit.

19 And we need to move on to the Air Quality, Panel
20 3.

21 MS. RAITT: Okay.

22 COMMISSIONER MCALLISTER: So I'm going to pass it
23 back to Heather.

24 MS. RAITT: Okay. So we're not going to take a
25 break and we'll just move on to the environmental agency

1 considerations.

2 And on Air Credits in the South Coast Air Basin
3 and San Diego we have Mohsen Nazemi from the South Coast Air
4 Quality Management District.

5 One moment. There you go. Yeah, that one.

6 MR. NAZEMI: Good afternoon, and thank you for
7 inviting South Coast Air Quality Management District to talk
8 at this conference. I think -- I'm Mohsen Nazemi. I'm
9 Deputy Executive Officer for Engineering and Compliance.
10 And I think Mike and others mentioned a lot about
11 contingencies. And I think that's really where we should
12 focus more on, given what we are facing in terms of the
13 drought and other temperatures in California that is like
14 breaking records that has never been broken before. And so
15 I'm not sure one-in-ten is pessimistic. It may be even
16 optimistic.

17 With that, I'd like to go over a few things real
18 quick and try to catch up with our timeframe here. I think
19 Michele covered this very well. I just want to highlight
20 that the proceeding that was approved, Track 4, by PUC
21 allowed for additional 100 to 300 megawatts of any -- from
22 any resource. And so that raised natural gas-fired
23 potential generation up to 1,500 megawatts.

24 Now what does that mean in terms of other
25 obstacles? You just talked about the storage issue. There

1 are other proceedings that are pending in front of the PUC
2 referenced by -- or filed by Sierra Club or California
3 Energy Storage Alliance, Office of Ratepayers Advocates and
4 others that deals with other issues. And they're looking at
5 from a different angle that, you know, a minimum of 1,000
6 megawatts is what Edison should have gone for and not 1,280
7 megawatts that they did sign contracts with AES.

8 Or the other proposal which, actually, we have
9 some concerns with, too, that somehow re-characterize Edison
10 by distributed generation. But basically what it really
11 looks at is using backup generator as preferred resources.
12 I think our agency has been very clear that we are not
13 interested in bringing back backup generators as a solution
14 to this, but we'd rather have good planning, as Barry was
15 just talking about, so that we can initiate and trigger
16 construction of whatever source of energy, even a central
17 generation, rather than start to look at backup generators,
18 and other proceedings that specifically deal with a
19 particular issue.

20 Just to give you a quick wrap of what the status
21 of once-through cooling and other power plants are -- Roger
22 already covered this very well, but I just wanted to take
23 another look at it. We had AES Alameda who applied for
24 replacing 1,950 megawatts with 1,936 megawatts. But because
25 of their LPP with Edison they actually canceled all their

1 applications in February and now they're going to file new
2 applications. We haven't received those yet.

3 The Redondo Beach, again, it's a relatively
4 controversial project. We had a public meeting end of June
5 and there was a lot of opposition raised by, actually, the
6 city of Redondo Beach and their consultants. This project
7 has been issued a preliminary determination of compliance by
8 South Coast. But now we have to look at some new
9 information relative to the EPA's New Clean Power Plant
10 Regulations. Also some additional modeling that AES just
11 submitted to us on August 7th that needs to be re-analyzed
12 for commissioning and startup periods.

13 AES Huntington Beach, the replacement of Units 1
14 and 2, we had issued final determination of compliance. But
15 again those applications were canceled in February. And AES
16 has indicated that either the end of -- by the end of August
17 or sometime in September they'll file new applications. We
18 haven't received those yet. Units 3 and 4 have already been
19 removed for permitting of the Walnut Creek Edison Mission
20 Energy which is now an NRG plant in the City of Industry.

21 And NRG El Segundo, as again you heard, the Units
22 1 through 3, 1 and 2 basically, but also part of 3 have been
23 repowered. And Units 3 and 4, ultimately the FDOC has been
24 revised just last month. And we are going to have to now go
25 back and look at that project again, also

1 because of the EPA's New Clean Power Plant Regulations.

2 As far as units that are not under CAISO, these
3 are LADWP projects for units that have OTC removal data of
4 2029, those are the LADWP Harbor and a couple of the units
5 from the Haynes plus some turbines, we have no application.

6 So there is nothing for us to do in order to get those up
7 and running. The Units 5 and 6 at Haynes had applications
8 filed early. They repowered it because they were also under
9 a settlement agreement with our agency due to some of the
10 violations that they had back in the 2001 energy crisis
11 relative to their exceeding of reclaimed allowances.

12 The Scattergood Project, we have just reissued the
13 revised FDOC this month, earlier this month. And they
14 wanted to increase their megawatts by about nine megawatt
15 because of the turbines that they installed actually were
16 more efficient than they thought they would be. But for
17 Unit 2, we have no applications. And again, that's a 2024
18 deadline.

19 Besides those, we also have some local
20 municipalities and some other IOUs that have not filed any
21 applications. And we're not certain about whether or not
22 they are going to be re-powered. There's a total of 847
23 megawatts associated with those projects. But they don't
24 typically get analyzed here at this point relative to once-
25 through cooling.

1 So what has South Coast done about permitting
2 power plants? We already had a rule in place for a number
3 of years relative to incentivizing projects that have old
4 utility boilers that are inefficient and dirty to replace
5 them with new state-of-the-art advanced gas-turbine
6 technologies. And that rule has, excuse me, has been used
7 in the past for a number of projects. The issue related to
8 that is that those projects have been permitted with an
9 exemption from offset requirements, but the district still
10 has to provide those offsets from our internal bank.

11 So a couple of years ago our governing board
12 adopted a regulation that requires a mitigation fee to be
13 paid for these projects so that the fees can be invested in
14 environmental benefit for local communities. In fact, we
15 just received the first payment from LADWP for that project
16 that I mentioned earlier at the amount of about a quarter
17 million dollars.

18 So with that in mind we looked at what will be
19 needed or future. And looking at the governor's task force
20 and other contingency recommendations that came out of that
21 report, we are in the midst of proposing and adopting new
22 rules. And I'll give you a quick synopsis why we're doing
23 that.

24 If you look at the availability and costs of
25 emission reduction credits for PM10 in the market, if we

1 look at back in 2000 the percentage of ERCs available has
2 dropped by more than 60 percent, yet the price of ECRs have
3 increased by 2,500 percent. So that not only is -- makes it
4 unaffordable and impractical to build a power plant that
5 requires PM10, but it also shows that they are not even
6 available in the market if somebody wanted to pay for it
7 because not all of these ERCs are actually available for
8 sale. There may be holders that need them for their own
9 future projects.

10 So we're in the midst of developing two new rules,
11 1304.2 for investor-owned utilities for new generation,
12 greenfield-type projects, and also 1304.3 for local
13 publicly-owned electric utilities servicing their native
14 rules -- sorry, native loads for both new and increased
15 capacity.

16 The objectives of these two rules is again to
17 implement Governor's Grid Reliability Task Force Report in
18 terms of contingency measures, but also to promote preferred
19 resources, the loading order, the CARB AB 32 Scoping Plan,
20 and the District's own energy policy that our board has
21 adopted.

22 We want to make it a level playing field for new
23 generation and existing generating capacities, that if
24 there's a better project at a better location that they
25 don't be disadvantaged or not being able to use our internal

1 bank offsets.

2 And also want to make sure projects are put in
3 places that it helps grid reliability and it not just go
4 back to the same old locations if they're not going to help
5 with grid reliability.

6 And, of course, our intention is also to help our
7 attainment strategy. As Barry mentioned, we are going to
8 file a new Air Quality Management Plan, and that's part
9 of -- an important part of that plan.

10 These projects -- or these proposed rules also
11 include use of a mitigation fee approach to address the
12 immediate surrounding community that will be seeing these
13 new projects going in. And, again, to use the money in
14 terms of preferred resources for energy efficiency, demand
15 response, energy storage, renewables. Also to look at what
16 Air Quality Management Plan reduction needs are, to address
17 those, and as well as to enhance and develop, again as Barry
18 mentioned, the new zero or near-zero emission vehicles and
19 charging infrastructure.

20 So these are a comparison between these two
21 proposed rules. But what I want to highlight here is that
22 this is still a process in development. These are our
23 thinking as we speak today and they may change by the time
24 they're adopted by the board. Again, 1304.2 for IOUs is for
25 new construction only. And the native load municipalities,

1 both for new and expansion, in order to be able to utilize
2 our offsets we are requiring in this proposed rule to
3 establish a need using the LTPP approved by PUC for IOUs,
4 and some sort of approved integrated resource planning by
5 the local community -- local municipality, and also to show
6 that it's only to serve native load and reliability of the
7 grid.

8 As far as how they determine this megawatts
9 needed, again for IOUs we are relying on PUC's approval of
10 the long-term procurement procedures and on integrated
11 policy resources plan for the local municipalities.

12 Some of the other requirements that I just will
13 quickly highlight is that for IOUs a contract would be
14 necessary in order to actually withdraw the credits. They
15 have to still look at a good-faith effort to provide offsets
16 if they can get them from ERCs. And our proposal at this
17 time only covers sulfur oxides and PM10 offsets, which are
18 the two scarce commodities that we believe are in the
19 market. For the other pollutants there is available ERCs in
20 the market that can be used.

21 We're also requiring a final CEQA document,
22 whether it's a CEC approval of an AFC project or a local
23 municipality going through their own CEQA procedures. And,
24 of course, we have a new source review tracking rule that
25 EPA had required us to adopt and approved into the SIP. And

1 we have some projections in that rule that allows us to show
2 that we're not going to run out of offset credits in our
3 internal bank. So these projects have to be consistent with
4 those projections. We have some minimum limits that we put
5 in here that we want to make sure we don't drop below those
6 levels. But we don't think we're going to drop below those.
7 But these are just some -- some backstop provisions.

8 And then finally, requirements to actually get a
9 permit would be to have the certified CEQA document and make
10 a payment for those mitigation fees. We have two options
11 right now in the proposed rule. You can either pay an
12 upfront fee for all the credits that you want to withdraw
13 from our account, or you can just pay a first-year payment
14 for -- for the credits and wait until you complete
15 construction, and after the first year of operation pay the
16 subsequent years.

17 So with that, the schedule for adoption is
18 slipping a little bit behind. But we are -- we've already
19 held an informal meeting, three workgroup meetings. A
20 fourth workgroup meeting is going to be coming towards the
21 latter part of summer or early fall. And we believe that by
22 the time we finish all the associated econ and CEQA analysis
23 for this rule we will be looking at the first quarter of
24 2016, unless Barry changes that date to an earlier date.

25 So in conclusion, what are we looking at? There

1 is 4,025 megawatts of once-through cooling required to be
2 replaced under CAISO that has not yet been permitted. There
3 is also 1,411 megawatts under LADWP that requires to get
4 permits. And there's also 847 megawatts that I mentioned
5 that are non-once-through cooling but they are either IOU or
6 local municipalities, that those all are very, very old
7 boilers and need to be replaced.

8 And assuming that the procurement allows for 1,500
9 megawatts of new generation which it doesn't -- you know, we
10 already know that AES Huntington Beach and Alamosa got
11 about 1,200 of those -- that would add up to a total of
12 7,783 megawatts. So do we have enough credits in our bank
13 to supply credits for a worse scenario where they have to
14 build 7,783 megawatts of gas-fired generation? And the
15 answer is yes.

16 This report is going to go to our board on
17 September 6th, which is our final equivalency to
18 demonstration with new source review requirements. And as
19 you can see, it shows that there is adequate offsets for all
20 pollutants, even if they were all going to be withdrawn from
21 our accounts, which they're not for the new rules. They
22 would only be for SO_x and PM. But for 1304.2, Utility
23 Boiler Replacement, it would be for all pollutants, that it
24 demonstrates that there will be adequate credits in our
25 internal bank to cover those. Plus we are putting some

1 backstop measures in the proposed rule to make sure we don't
2 get to a point where we don't have enough credits.

3 And that concludes my presentation.

4 CHAIR WEISENMILLER: Thank you. I just have one
5 question, which Barry had referred earlier to the overall
6 attainment. It that like 11 months out? I'm just trying to
7 see how this fit into your overall actions, your next step
8 on regulations.

9 COMMISSIONER WALLERSTEIN: We have attainment
10 dates for the Federal Clean Air Standards in the 2019
11 timeframe for particulates. And then we have -- I'm sorry.

12 COMMISSIONER MCALLISTER: Oh, sorry.

13 CHAIR WEISENMILLER: Sorry. I'm sorry.

14 COMMISSIONER WALLERSTEIN: We also still need to
15 meet the one-hour ozone standard which will be in the 2022
16 timeframe. And 2023 is the 80-hour 80 PPB standard. And
17 then we have -- the upcoming plan is really directed at
18 meeting the 75 PTB standard in 2032. And then the federal
19 government in the next month is supposed to finalize a new
20 ozone standard which will likely be in the range of 65 to
21 70, and it will have an attainment date of 2037.

22 So from our perspective the most important thing
23 is to meet those near-term standards, 2019, 2022, 2023. And
24 that will put us on the right glide path to meeting the
25 standard in 2032. And in our view what is likely needed to

1 meet the ozone standard of 2032 will be very much the same
2 measures as to meet the governor's goal for 2030.

3 MS. RAITT: Ready?

4 CHAIR WEISENMILLER: Thank you.

5 MR. NAZEMI: Thank you.

6 MS. RAITT: Thank you.

7 Our next speaker is John Annicchiarico from the
8 San Diego Air Pollution Control District.

9 MR. ANNICCHIARICO: Good afternoon. I'm John
10 Annicchiarico from San Diego APCD. And thank you for
11 inviting us to participate. I'll be providing an overview
12 of the San Diego APCD and how we -- how we do permitting and
13 how our permitting process might interact with the
14 mitigation options, the generating mitigation options that
15 were discussed earlier.

16 So this is what we do to protect the public,
17 achieve and maintain air quality standards. We like to have
18 community involvement and we try to do that in a cost
19 effective manner.

20 So just a couple quick slides on what we've been
21 doing. And ozone levels are decreasing in San Diego. It
22 shows we still have a little ways to go.

23 Toxic emissions, this is a chart of the ambient
24 cancer risk at two of our monitoring stations. So this
25 represents about a 75 percent decrease over that period.

1 These are just the state regulations that provide
2 the framework for our permitting process. So what we do is
3 we evaluate applications that are submitted for compliance
4 with the local, state and federal regulations that we've
5 been delegated. At that point we issue, if they comply, we
6 issue an Authority to Construct with operating conditions
7 that assure compliance, and we have to ensure compliance.
8 We can't issue a permit unless we -- we know it's going to
9 be in compliance.

10 So once it's -- the emission unit is constructed
11 the AC becomes a Temporary Permit to Operate until the
12 District inspects, and then we issue what's called a Startup
13 Authorization, and we can test at that point. And once we
14 get the report back we ensure that -- before we issue a
15 permit we ensure it meets the -- all our requirements.

16 So the process is a little bit altered for when
17 CEC has jurisdiction. The CEC application for
18 certification, the AFC is what we consider equivalent to an
19 application for a district, Authority to Construct, so we
20 publish a PDOC. And then later the final FDOC is provided
21 to CEC. And so the FDOC has all the conditions that ensure
22 compliance.

23 So our regulations state that an initial ATC is
24 allowed one year for construction. We are allowed to grant
25 a longer period if it's required for construction. ACs,

1 including any extension, can be for no longer than five
2 years. So this is directly out of our rule, Rule 17. These
3 rules vary by district. This is what it is for San Diego.
4 So we -- we would then need to reevaluate any time an
5 extension is granted prior to granting that extension.

6 I think I'm off maybe by one slide. So these are
7 the things that we would evaluate before an extension is
8 granted. I'll go through each of them. So best available
9 control technology, lowest achievable emission rate, these
10 are moving targets as technology advances and can be
11 effected by decisions by us or other districts, other states
12 or EPA. So this is fairly common. This happened with Pio
13 Pico. After an extension we did reevaluate for BACT and we
14 did make a more stringent determination that was based on a
15 PSD determination by EPA.

16 So AQIA, Air Quality Impact Assessment, could be
17 revised depending on new data and new emission factors. NO2
18 to NOx is one factor. The new source test information, new
19 ambient air quality standards, we -- we have had that
20 happen. That happened with Carlsbad Energy Center, new
21 modeling guidance from EPA which is currently -- currently
22 EPA has proposed new modeling guidance and the actual model.

23 Health risk assessment, same thing, new emission
24 factors, new modeling guidance. There -- there has been
25 recent new -- new guidance from OEHHA or revised health --

1 health values. Could be new reference exposure levels,
2 toxicities of -- of a pollutant.

3 So any of these regulations, if they change we
4 would need to reevaluate. The District NSR is currently
5 being revised. It probably wouldn't impact power plants,
6 except for the larger combined-cycle plants. And that could
7 affect the availability of offsets for the larger power
8 plants because offsets need to be racked adjusted at the --
9 at the time they're used. That -- that's a possibility for
10 an impact there. We would also look at any NSPSSs or NESHAPS
11 that were delegated.

12 So PSD, in San Diego there's two flavors of PSD in
13 our District regulation, Rule 20.3, and then there's Federal
14 PSD which is implemented by EPA. So APCD San Diego couldn't
15 implement Federal PSD unless we had a rule approved by EPA
16 or delegation by a Federal PSD from EPA, so we have neither.
17 We did attempt to have a rule that EPA could approve.
18 However, due to some court cases that EPA will be addressing
19 we need to rescind that request for approval. But we do
20 plan to, in the future, adopt a rule that EPA could approve.

21 So therefore, any projects subject to a PSD has to
22 receive a Federal PSD permit from EPA and an FDOC/ATC from
23 the District. We have in the past received site-specific
24 delegation from EPA. But because of -- since our rules
25 don't contain the required greenhouse gas and PM2.5

1 requirements that EPA has, delegation is not likely in the
2 near future.

3 So the District PSD is required by our rules.
4 It's -- it can't be rescinded because of SB 288. That's the
5 Protect California Air Act that -- that doesn't allow
6 backsliding of districts' regulations. So our District PSD
7 is consistent with the Federal PSD of about 1995. So this
8 will continue to be enforced and incorporated into ATCs.

9 So I just wanted to go over an example. This is
10 the Carlsbad Energy Center. And it sort of resembles the
11 mitigation options. CEC approved the six turbines, but PUC
12 only approved five. So the District ATC isn't effected. So
13 the applicant could install six if they elect to. But if we
14 need to extend that Authority to Construct what we do is
15 reevaluate for all those things I just mentioned.

16 So one of the things that would change would be
17 the NOx offsets. It could be that -- because this is a re-
18 power it could very well be that no or very few offsets
19 would be required if they elect to only install five.

20 So that's -- that's my presentation. If you have
21 questions --

22 Thank you.

23 COMMISSIONER MCALLISTER: Thank you very much. We
24 appreciate it.

25 MS. RAITT: Thank you very much for that.

1 Our next presentation is over WebEx from Lisa
2 Beckham from the USEPA Region IX. And I'll go ahead and get
3 that presentation.

4 MS. BECKHAM: Okay. And can everyone hear me?

5 COMMISSIONER MCALLISTER: Yes.

6 MS. RAITT: We're muted, so --

7 MS. BECKHAM: Okay. So I'm Lisa Beckham and I am
8 with the Air Permits Office at EPA Region IX in San
9 Francisco. And in the Air Permits Office I do oversight of
10 the Air Permitting Program in Region IX. That includes
11 Southern California, South Coast and some of San Diego. And
12 I also do some of the PSD permitting for EPA, as well as
13 some title permitting. And I'm wanting to focus on what
14 happens if you have -- and my presentation is moving on its
15 own speed. I don't know if we can back it up. Okay, that
16 works, sorry. I don't know why it's doing that.

17 Yeah, so I'm just going to focus on how, if you
18 happen to be lucky enough to need a PSD permit from the EPA,
19 how that -- how that works, and sort of thinking about how
20 to tie it into the timelines that Mike was discussing
21 earlier under those three options, some recommendations,
22 considerations and my contact information.

23 So we can go to the next slide.

24 So I know that if you are already getting a permit
25 from your local agency, why would you also need a second

1 separate permit from the EPA that will probably have the
2 same requirements? I think John at San Diego APCD kind of
3 put it pretty well, and it's because you don't have an
4 approved program, instead you have to get a permit under the
5 Federal PSD Program. I won't go into too much more detail,
6 I think John covered it, but there are a couple different
7 scenarios for how you trigger the PSD program. It does vary
8 based on whether you are a combined-cycle or simple-cycle
9 facility. And if you're an existing major storage there are
10 also different thresholds that are -- that are lower.

11 And John also talked about the ability to get a
12 delegation agreement. If you have -- if you don't have a
13 SIP approved program. And while San Diego does not have a
14 delegation agreement, South Coast does and they've had that
15 in place for a very long time.

16 Onto the next slide.

17 And so what happens is when you have to get a
18 permit from EPA there are some additional requirements that
19 have to be met. I think you need to go back a couple of
20 slides. There we go. And one of those, the big ones is
21 Part 124 which is -- we call that the regulation that it is,
22 but it's our administrative procedures. And this includes
23 our administrative appeal process, the EAB, EPA's
24 Environmental Appeals Board. And what happens is if a
25 permit decision is appealed to the EAB it stays construction

1 until that process is complete. And that can also include a
2 remand proceeding back to the region before you can begin
3 construction.

4 And then once you get over that hurdle there's the
5 federal judicial appeals process either to Region IX or
6 appealed to the Ninth Circuit Court of Appeals. You can go
7 ahead and begin construction but you would do so at your own
8 risk. And those decisions can take literally years to get.

9 And in addition, if you're also getting a federal
10 permit there are some other sort of requirements, like ESA
11 and environment justice requirements that you have to meet
12 that we've included probably in a guidance document. And
13 these would probably generally be redundant with some of the
14 CEQA requirements. But they are separate federal
15 requirements that do need to be met.

16 And the next slide. There we go.

17 So how long does it take to get a final permit
18 from EPA? The answer is it can vary. And here I show our
19 three most recent TOC (phonetic) projects, Four Corners, Pio
20 Pico and Palmdale. You can see that Four Corners was
21 relatively short, I would say, by a miracle of some sort.
22 There was no EAB appeal. Pio Pico was appealed to the EAB
23 and remanded back to us, and that added about seven months
24 of those 34 months, so that includes the seven of those 34.
25 And Palmdale was 42 months. And I would say that Four

1 Corners was not necessarily an easy PSD project. Even
2 though it had a very short timeframe, we actually did some
3 extensive public outreach and received a lot of comments.
4 And we're fully expecting EAB appeal, but that never
5 materialized.

6 And onto the next slide.

7 So what should you be thinking about if you happen
8 to be lucky enough to need a permit from EPA during your
9 process? And I would say ideally EPA would only have an
10 oversight rule where your project would not trigger the TOC
11 program. You know, while we can delegate the (inaudible)
12 down to the local agency, you still have to meet all of
13 those other federal requirements.

14 And the other consideration that is important is
15 that the Clean Air Act is really designed for projects that
16 are ready for construction because of that one-year deadline
17 from when we receive a complete application to when we have
18 to make our decision. And that applies to both EPA issued
19 permits and state and local issued PSD permits.

20 And, you know, after you've gone through that 30
21 or 40 months permitting process for your permit, you then
22 have -- under the federal program you have that 18-month
23 period until you commence construction. And I think people
24 were curious about whether or not you can then extend the
25 permit, and the answer is, yes, assuming it's justified.

1 Typically, I think typically it's an 18-month extension,
2 only because I've never seen anyone ask for more than 18
3 months. It's actually not specified in our regulations.

4 But again, this is a federal action if we extend
5 the permit, and that can be challenged in federal courts.
6 And the last one that we did for the Avenal Energy Project
7 was, in fact, challenged. It was dropped once the permit
8 was vacated. And so we do expect any future extension
9 requests to also be challenged in federal court.

10 And I just also recommend that when you submit a
11 request for extension that you're providing us with really
12 specific information that we can use if you were defending
13 the request decision in federal court.

14 And onto the next slide.

15 And so should you let your EPA PSD permit sit on
16 the shelf? Again, the Clean Air Act is really designed for
17 projects that are ready to construct. And so our ability to
18 extend the PSD permit is on a case-by-case basis. If it
19 were to be challenged there's a good chance that that
20 extension would expire before we even got an answer from the
21 courts. And it also -- think about that if you took, you
22 know, 30 months to get an initial permit, then maybe you got
23 36 months of -- you know, 18 months and then another 18-
24 month extension, that's a total of about 66 months. And so
25 after that period of time the analysis that -- you know, the

1 original determination is probably stale, and probably you
2 need to restart analysis anyhow.

3 And so do I have any recommendation for how to
4 reduce the time to get a final permit from EPA? And the
5 quickest way to do that is to not need one from EPA in the
6 first place. I think John said that San Diego may be
7 working on a rule for the future. South Coast, I'm not sure
8 that they have any plans for an approved program. But, I
9 mean, they've had a delegation agreement in place for a
10 really long time. And I'm not aware that they've actually
11 ever had a permit challenged to the EAB. But I do think
12 that -- I think that approving more programs in California,
13 our typical commenters are realizing that they need to
14 follow the -- the local process in order to get involved in
15 the challenging of particular projects.

16 And so -- but if you do have to get a permit from
17 us, we encourage early upfront and ongoing engagement that's
18 keeping us in the loop. And we try to do our best with the
19 resources we have.

20 And on the next slide I just have my contact
21 information. All of our recent TOC permits are online. And
22 I did not provide anything from the Clean Power Plan, but I
23 think ARB is going to cover that next. I'm on the Clean
24 Power Plan Group here at Region IX. But Ray Saracino is the
25 main contact for California.

1 And I will take any questions.

2 CHAIR WEISENMILLER: Bob Weisenmiller. I wanted
3 to congratulate you on the Clean Power Plan now.

4 MS. BECKHAM: Thank you. We're extremely excited.

5 COMMISSIONER MCALLISTER: This is Andrew
6 McAllister. And I wanted to reiterate that. It's been a
7 long time coming. And I think California is really happy
8 for your leadership and -- which I think you're probably
9 hearing from many states, they're not -- they're not so
10 happy about that, but we are in California -- in California.
11 So thank you very much.

12 MS. BECKHAM: Yes. That's -- that's definitely
13 what we've been hearing from California. And we're really
14 excited to work with California as they get started.

15 COMMISSIONER FLORIO: Good morning and
16 congratulations from California Public Utilities Commission.

17 I had one question about the -- the EAB appeals
18 process. Does -- does that not apply in the case of the
19 South Coast or is it just that it hasn't been exercised?

20 MS. BECKHAM: I think it's just that it hasn't
21 been exercised in the past. There could have been an issue
22 in the past that I don't know about. But I don't know about
23 any recent projects that have gone to the EAB from the South
24 Coast.

25 COMMISSIONER MCALLISTER: Thank you very much.

1 MS. RAITT: Our next speaker is Tung Le from the
2 California Air Resources Board.

3 Use that to advance.

4 MR. LE: Okay. Thanks.

5 My name is Tung Le. I'm the Manager in the
6 Industrial Strategies Division of the California Air
7 Resources Board. As you just heard a minute ago, EPA
8 released some power plant rules that are intended to
9 regulate carbon dioxide emissions. There are actually two
10 rules that are out there that I'll be kind of giving an
11 overview about this afternoon, one that covers new and
12 reconstructed plants, and the other that covers existing
13 power plants.

14 So first, a little bit of background and context
15 on where these power plant rules are coming from.

16 Back in 2013, President Obama released his Climate
17 Action Plan. That plan identifies area that the nation
18 could take to reduce greenhouse gas emission. As a part of
19 that plan the president looked at power plants and asked his
20 cabinet and his agencies to go ahead and look at ways to
21 accelerate renewable energy permitting, upgrade and
22 modernize the grid, help the electrons move around a little
23 easier, and also directed EPA to go ahead and look at power
24 plant rules and how we can reduce emissions from them.

25 So first I'll go ahead and cover the new and

1 reconstructed rule, which we also call 111(b). During the
2 draft proposal there were actually three rules, one to cover
3 new, one to cover modified, and one to cover the existing.
4 When EPA took its final action they decided that the
5 modified rule wasn't workable in its present form, so
6 they're going to go back and work on it some more.

7 And so now we ended up with two rules, the first
8 being for new and reconstructed units. So that -- so this
9 rule was released a couple of weeks ago. It was released
10 concurrently with the existing source rule. It applies to
11 units built and reconstructed after January 8th of 2014. So
12 anything that's in the pipeline right now that is going to
13 be built after January 2014 would be subject to the 111(b)
14 standard.

15 For natural gas-fired units, which is what we're
16 mostly concerned about here in California, EPA's sort of
17 rule universe is whether or not the unit is a base load unit
18 or a non-base load unit. And so there's a definition in
19 there in the rule that we're still trying to get our minds
20 around. The rules -- each of the rules were over 1,000
21 pages long. Staff are still going through it. We're still
22 trying to figure out, you know, what does this mean for us?
23 How is this going to affect power plant permitting in the
24 state? So, well, I'll talk about that a little bit more,
25 you know, some of the work that they're looking at going

1 forward.

2 So the emission limit for base load natural gas-
3 fired units is 1,000 pounds of Co2 per megawatt hour gross.
4 This is pretty much in line with what we would expect a base
5 load unit to be able to do. So, you know, this is not
6 anything that we're expecting to cause any issues, at least
7 for natural gas-fired power plants in California.

8 If you're a non-base load unit they have to meet
9 an input base standard. That input base standard is based
10 on the amount of heat input that they take. So it's -- so
11 they -- so the limit there ends up being a 120 pounds of Co2
12 per million Btu of heat input for a unit.

13 Whether or not a unit is a base load or a non-base
14 load is dependent upon a sliding scale, sort of equation
15 calculation the EPA has put into the rule. It's based upon
16 the percent of electricity sales versus the net EGU
17 efficiency. And so what the sliding scale does is that it
18 incentivizes the installation of more efficient units
19 because more efficient units basically get to run more or
20 sell more electricity to the grid before their considered
21 base load and subject to what we believe right now is the
22 more stringent limit of 1,000 pounds.

23 Any questions on the new, before I go on with the
24 existing? Okay.

25 So with the existing standard it's similar in

1 structure, but there a lot of familiar aspects to the final
2 roles compared to the draft rule. It sets emissions rates
3 dependent on the individual units. And so in sort of
4 summary, how those units add up provides the state targets.

5 Credit is given for renewable energy programs, so
6 that stayed in the final version of the rule.

7 And one of the more interesting things that we saw
8 so far is that EPA has put a tighter focus on interstate
9 trading of emissions in the final rule.

10 So if you remember from my presentation last year,
11 there were actually four building blocks that EPA had
12 proposed. Those four building blocks have now been knocked
13 down to three in the final rule. The fourth building block
14 concentrated on energy efficiency. That has been removed
15 from the final rule. EPA, again, didn't think that that was
16 workable in the final version of the rule, so they
17 concentrated on the first building blocks. And another way
18 they applied the building blocks, too, is that they looked
19 at the regional interconnects. So there's a Western
20 Interconnect, an Eastern Interconnect, and ERCOT (phonetic).
21 And so they've applied the three building blocks to the
22 three interconnects rather than looking at it on a regional
23 basis as they had in the draft.

24 COMMISSIONER MCALLISTER: Tung, I want to jump in
25 here --

1 MR. LE: Yeah.

2 COMMISSIONER MCALLISTER: -- and clarify
3 something.

4 So they left the building block and the energy
5 efficiency off of the goal setting process?

6 MR. LE: Off of the goal setting process.

7 COMMISSIONER MCALLISTER: But they're still going
8 to let it be a core activity for compliance purposes?

9 MR. LE: Yes, absolutely.

10 COMMISSIONER MCALLISTER: So that's -- that's a
11 pretty important distinction --

12 MR. LE: That's right.

13 COMMISSIONER MCALLISTER: -- because you can't use
14 energy efficiency to comply.

15 MR. LE: That's right. As long as -- as long as
16 the state is able to show that those energy efficiencies are
17 able to be counted, they're able to be enforced, then they
18 can certainly be a part of its compliance plan.

19 So what did California's final targets end up
20 looking like? The EPA actually calculated and mass-based
21 targets in the draft rule. They only proposed rate, and so
22 they kind of left it up to the states to figure out how they
23 were going to convert that to a mass.

24 Well, in the final rule they went ahead and did
25 that for us. There was a whole bunch of different ways that

1 you can do that. EPA chose a certain methodology that's in
2 the rule. The calculation is actually in there if you're
3 interested in looking at it. But for California's baseline
4 2012 emissions, we're at 963 pounds as far as rate. The
5 mass equivalent of that is 46.1 million short tons. And our
6 2030 final compliance target is 828 pounds per megawatt hour
7 or 48.4 million short tons. And that's not a typo. We're
8 actually, according to EPA's values, already complying with
9 the rule. We're lower than what our 2030 targets are going
10 to be.

11 I've got a caveat. This slide right here with --
12 you know, Staff have already noticed that EPA left off a
13 significant number of units that we think should be in the
14 rule. So we're going through that list right now and trying
15 to figure out which units were left off EPA's inventory for
16 California, what units we think should be included, and that
17 will adjust these values. But overall, you know, the
18 message is that we're in pretty good shape. California is
19 going to be able to comply with this rule and probably over-
20 comply.

21 So the compliance schedule, they made it real
22 simple this time. Compliance plans are due by September 6th
23 of next year. If we don't have a complete plan together
24 than we can just do an initial submittal and say, well, this
25 is what we have together so far, EPA, we're going to go

1 ahead and ask for an extension. California is not going to
2 do that, actually. We are planning to have our rule in, in
3 time for the first submittal date. But this is an option
4 that EPA is allowing in the final rule.

5 States that do take advantage of the extension
6 request have sort of a progress report that is due to EPA in
7 2017. And then again, final compliance plans for states
8 that ask for extensions is in September of 2018.

9 So some of the next steps, some of the things that
10 we're working on, I've got Staff working like crazy with the
11 Energy Commission Staff, with PUC Staff, and we're going to
12 be consulting with the ISO to make sure that everyone is on
13 board and we all understand what the rule says and what it
14 means for California.

15 There is going to be a joint state agency
16 workshop, right now tentatively planned for late September
17 or early October where Staff are going to go ahead and
18 present our findings, what we think of the rule, how it's
19 going to affect California, you know, and talk about some of
20 the ways that California is going to show compliance.

21 That's actually going to be the harder part. We're pretty
22 sure that we're going to comply. I mean, it's -- you know,
23 that's -- California has been a leader in renewable energy
24 and doing all the good things to reduce emissions. But how
25 we show that without implicating our state programs and

1 making them federalized is the -- is the tricky part. And
2 so we're going to be working on that and be presenting to
3 folks during that first workshop there.

4 We're going to continue to communicate with EPA.
5 Region IX actually got the rule the same day we did. So
6 they're actually still, you know, reading it and trying to
7 understand it as well. We are going to be in constant
8 contact with them to make sure, again, we're reading the
9 rule the same way they are, we're understanding the rule the
10 same way that they are, so that that way at the end when we
11 turn in our plan and Region IX has to review it and approve
12 it, we don't have any surprises.

13 We're going to continue to work with other states,
14 as well, through the Center for the New Energy Economy.
15 It's a group out of Colorado State the Governor Ritter has
16 put together. That group collaborates with the western half
17 of the United States, or I should say the Western
18 Interconnect in California, and has been an active
19 participant in that group.

20 So here are some resources that you can look at if
21 you're interested in learning more about the Clean Power
22 Plan and the 111(b) for new rules at the very bottom. ARB
23 has its own website for updates about, you know, some of the
24 things that Staff are doing, some of the documents that will
25 be put out. So I'm asking Staff to go ahead and update that

1 right now, to go ahead and look at that and make sure the
2 information that we need for the September workshop will be
3 posted. So keep an eye on that website for updates.

4 And these are the team contacts. Again, I'm Tung
5 Le. I'm the Technical Lead for the 111 Rules. Craig
6 Segall, who couldn't be here today, is our overall Lead 111
7 Project Coordinator. And then you have our contact
8 information there if you have any questions or would like to
9 chat about what the rules mean and what we're working on.

10 COMMISSIONER MCALLISTER: Thank you.

11 MR. LE: Okay.

12 CHAIR WEISENMILLER: Thank you.

13 MS. RAITT: You need to --

14 CHAIR WEISENMILLER: Come up to the microphone.

15 MS. RAITT: You need to come up here, please.

16 CHAIR WEISENMILLER: Why don't you use that one?

17 MR. NAZEMI: Thanks, Tung.

18 So ARB has not -- is not going to pursue a multi-
19 state plan submittal at this point; is that pretty much
20 decided?

21 MR. LE: Yeah. So at this point we are not
22 pursuing that. We are, again, speaking with other states.
23 And so far there just really hasn't been an interest to
24 collaborate in a multi-state sort of plan. And I think that
25 as the conversation develops more there may be interest from

1 other states to do that. But right now I think the easiest
2 way that most states, you know, really are kind of looking
3 at is that, well, how can we comply with this going at it
4 alone? You know, to collaborate with other states will
5 involve a huge amount of time and resources. And if a state
6 can go at it alone, that probably makes the most sense as
7 far as time and resources go.

8 But again, as the conversation develops and we
9 continue to interact with other states, if there are
10 opportunities for collaboration we are certainly keeping our
11 minds open to that.

12 CHAIR WEISENMILLER: Thank you.

13 MS. RAITT: Okay. Okay. I think we're ready to
14 move on to public comment then.

15 So when we -- so Commissioner McAllister will be
16 reading blue card names. So when he calls your name, if you
17 could come up here to make your comments --

18 COMMISSIONER MCALLISTER: Do we have any other
19 blue cards? I've got three.

20 So Robert Smith?

21 MR. SMITH: I'm just going to start, huh?

22 MS. RAITT: Yeah. Go ahead.

23 MR. SMITH: Thank you.

24 MS. RAITT: Actually, it's right here. So go
25 ahead and just --

1 MR. SMITH: Oh, okay.

2 MS. RAITT: Yeah.

3 MR. SMITH: Okay.

4 Well, thank you. Good afternoon, Chairman,
5 Commissioners and gentlemen. My name is Bob Smith and I'm
6 the Vice President of Transmission Development for
7 TransCanyon. Thank you for the opportunity to provide
8 comments on the Southern California Electricity
9 Infrastructure Assessment as part of the CEC's process to
10 develop the 2015 IEPR.

11 TransCanyon commends the CEC for its commitment to
12 working with the CPUC, the ISO, the Air Resources Board, and
13 other agencies and stakeholders to ensure the successful
14 development of energy infrastructure needed to assure the
15 future reliability of the electric system serving Southern
16 California.

17 TransCanyon is an independent developer of
18 electric transmission infrastructure for the Western United
19 States. It is a joint venture equally owned by the BHE US
20 Transmission and Bright Canyon Energy. BHE US Transmission
21 is a subsidiary of Berkshire Hathaway Energy. And Bright
22 Canyon Energy is a subsidiary of Pinnacle West Capital
23 Corporation and a sister company to Arizona Public Service.

24 TransCanyon has been an active participant in the
25 CAISO transmission planning process since 2010 when it

1 sponsored the Delaney to Colorado River Transmission Line as
2 an economically driven transmission project. Our team of
3 experts has a deep understanding of the unique challenges
4 the state faces in meeting its increasingly ambitious
5 renewable energy and greenhouse gas emission reduction
6 goals, while ensuring that the reliability of the electric
7 system is maintained.

8 We are committed to working closely with the CEC
9 and other California agencies to help develop cost effective
10 transmission solutions, taking into account local
11 environmental concerns that will facilitate the state's
12 implementation of these broader policy goals and ensure the
13 reliability of the electric system.

14 TransCanyon supports the CEC's efforts to track
15 energy resource development and electricity demand and to
16 identify contingency mitigation options, if necessary, to
17 assure electric system reliability in Southern California.
18 We appreciate the opportunity to participate as a
19 stakeholder with the CEC and the other agencies. We
20 understand the limits on the amount of detailed power flow
21 analysis that CAISO can perform and applaud the CEC staff's
22 development and utilization of a local capacity annual
23 assessment tool. We also support the preliminary findings
24 and agree with the need for more detailed studies by the
25 CAISO of 2021 when the loss of substantial OTC resources is

1 scheduled to occur.

2 And in addition to the two contingency mitigations
3 discussed today, the ISO has identified several alternative
4 transmission solutions as mitigation if the anticipated
5 resources do not develop, future demand exceeds current
6 forecast, or energy efficiency goals are not realized.
7 TransCanyon recommends that the CAISO continues to develop
8 these alternatives in order to select a preferred
9 alternative in the near term.

10 Further, given the time required and magnitude of
11 development dollars at stake, we recommend that CAISO
12 consider a process where early development of that preferred
13 transmission alternative could begin, but the CAISO and
14 other pertinent agencies could preserve the right to issue a
15 Construction Notice to Proceed until it is determined that a
16 reliability solution is, in fact, needed. This approach or
17 something similar could provide a meaningful contingency
18 response that could be acted in a time to address
19 reliability issues that may emerge in the future.

20 In essence, commencing with some preliminary
21 development work of the preferred transmission solution
22 would enable a relatively quick and efficient response
23 should the preferred resources not materialize. This is
24 similar to the new generation options that Mr. Jaske had
25 subscribed earlier.

1 Thank you for the opportunity to comment.
2 TransCanyon looks forward to continuing working with the CEC
3 on this and other important initiatives, such as the New
4 Renewable Energy Transmission Initiative.

5 CHAIR WEISENMILLER: Thank you. I was going to
6 encourage you to participate in the RETI 1.0 process.

7 MR. SMITH: We'd love to. Thank you.

8 CHAIR WEISENMILLER: Thank you.

9 COMMISSIONER MCALLISTER: Thank you very much.
10 Rexford Wait?

11 MR. WAIT: Good afternoon, Commissioners. Thank
12 you guys for your time and coming down to Orange County
13 today. My name is Rex Wait. I'm with Nevada Hydro Company.
14 How many of you at the table today support large
15 storage? Anybody? No one brave enough to stick their hands
16 up.

17 Well, the reason why I'm here today is LTPP 4 was
18 nice enough to lay out 550 megawatts for large storage. RFP
19 went out with Edison. RFP went out with San Diego. You saw
20 the results of that today. And not one pump storage PPA has
21 been let thus far. I suspect in the future probably none
22 either.

23 I believe it's an important technology. It
24 doesn't require emissions credits. It's probably been the
25 best assets that have ever been involved in the state,

1 looking at Castaic and Helms. And I would certainly like to
2 see that 550 megawatts eventually go out to just a project.
3 Thank you.

4 COMMISSIONER MCALLISTER: Thank you.

5 Robert Smith?

6 MR. SMITH: I already spoke.

7 COMMISSIONER MCALLISTER: Oh, I'm sorry. Sorry.

8 MR. SMITH: Long day.

9 COMMISSIONER MCALLISTER: Yeah, long day. And
10 multi-tasking, actually, in fact, I have to admit.

11 Brian Theaker?

12 MR. THEAKER: So which way do I have to --

13 MS. RAITT: So you just kind of face this way.

14 MR. THEAKER: Okay.

15 MS. RAITT: That will be good.

16 MR. THEAKER: Okay. Okay. Thank you.

17 MS. RAITT: Whoops. Hold on.

18 MR. THEAKER: Okay.

19 Good afternoon, Commissioners, Mr. Bishop and Mr.
20 Wallerstein, it has been a long day. Thank you. Brian
21 Theaker, Director of Regulatory Affairs for NRG Energy.

22 We appreciate this -- this opportunity to discuss
23 these issues. We applaud the Commission's commitment to
24 reliability. We think that NRG has also demonstrated a
25 commitment to reliability in Southern California with

1 Carlsbad, with Puente, with El Segundo. But we've also
2 demonstrated a commitment to preferred resources through our
3 awards and the Edison RFO, as well as 1,200 megawatts of
4 operating solar and about 1,000 megawatts of operating wind.

5

6 So what I want to just talk with you today about
7 is we support very much Staff's efforts to look at
8 contingency planning for conventional generation as a
9 backup.

10 Chair Weisenmiller, you said it best, things
11 happen.

12 A couple of years ago, you know, at the Carlsbad
13 proceeding, I don't think we anticipated where things were
14 going to take us. So things happen and options are good.

15 Speaking of options, you know, we currently have
16 three projects at the CEC in licensing process. Two are re-
17 powers, a continuation of our successful project at El
18 Segundo involving conventional generation, combined-cycle
19 and peaking generation. We think that the final staff
20 assessment is due out on that very soon and we think it's on
21 track for a decision in 2016, so that's in good shape.

22 San Gabriel is a project in less good shape. That
23 is a repowering at Etiwanda. As you're aware, these
24 brownfield projects have immense advantages. First, they
25 have access to air credits under Rule 1304. They can be

1 repurposed for synchronous condensers as the need arises.
2 But most importantly, they utilize the existing gas and
3 transmission infrastructure which is very important.

4 So we have a third project also in the queue at
5 the Energy Commission, Sun Valley, that's a peaking project
6 similar to what we've deployed, we plan to deploy Carlsbad,
7 and have deployed already at Walnut Creek.

8 So we applaud the Commission's commitment to
9 reliability. We appreciate that you're looking at options
10 for contingency planning. And just encourage you in this
11 time of uncertainty to keep your options open. Thank you.

12 COMMISSIONER MCALLISTER: Okay. Thank you very
13 much.

14 Anybody else in the room want to speak? No?

15 Do we have anything on -- I'm not sure how we
16 would --

17 MS. RAITT: Yeah.

18 COMMISSIONER MCALLISTER: -- we would allow them
19 to speak.

20 MS. RAITT: No, I'm afraid on the WebEx we're just
21 encouraging folks to please submit written comments, and
22 they're due by August 31st.

23 COMMISSIONER MCALLISTER: And I apologize for any
24 of the glitches today that were unforeseen.

25 CHAIR WEISENMILLER: I would say that -- I was

1 just going to fill in the glitch problem. I mean, all of
2 us, on the one hand, like to get down to Southern
3 California. We get real feedback here. The reality is that
4 in this case when we did, you know, we discovered that the
5 AV system isn't quite up to snuff. So anyway, we certainly
6 apologize to the public on the line. It's sort of one of
7 those things that certainly good intentions didn't work as
8 well as we hoped today. But anyway, hopefully next time we
9 come down we need to get past this situation.

10 COMMISSIONER WALLERSTEIN: I'd like to invite you
11 to use your auditorium.

12 CHAIR WEISENMILLER: I know. We've done that
13 before. That's very good.

14 COMMISSIONER MCALLISTER: And that will be great.
15 I've been there too. It's a really good facility.

16 CHAIR WEISENMILLER: Thank you.

17 COMMISSIONER MCALLISTER: Yeah. And those --
18 those, you know, who are at UC Irvine, we really thank them
19 for allowing us to be here and lending their facilities.
20 But I think the -- if you don't do this for a living it's
21 kind of hard to set these things up. And we're learning
22 that, I think, on occasion as we try to move around the
23 state and do this sort of outreach and get closer to folks
24 of interest, rather than doing everything in Sacramento.
25 So, obviously, in this case it's Southern California

1 reliability. We want to get down here. We appreciate the
2 UC helping us out with the venue. But a little -- a little
3 more care with the details I think would be good next year
4 when we come on down here. So great to be here.

5 Yes, thank you, Barry.

6 COMMISSIONER WALLERSTEIN: Thank you.

7 COMMISSIONER MCALLISTER: So I think any final
8 comments from the dais?

9 I think it's been very productive. Thanks to all
10 the -- all the presenters. The CEC staff obviously carried
11 a lot of load today, and that was great. And all our
12 friends from the other agencies and utilities, we appreciate
13 all your input.

14 We look forward to written comments on -- Heather,
15 do you have the date?

16 MS. RAITT: Yeah. August 32st. And the slide
17 provides information. And the details are in the public
18 notice for the workshop.

19 COMMISSIONER MCALLISTER: Great. So now I'll pass
20 the microphone to the Chair.

21 CHAIR WEISENMILLER: I was just going to make note
22 of one other event that's going on. Next -- I am both a
23 scientist on the Commission and responsible for some of the
24 climate issues. And next Monday and Tuesday in Sacramento
25 we're having an event of scientists on the climate issues

1 and how that's effecting California.

2 Certainly, for all those who wonder about
3 reliability of one-in-ten, the basic message is our climate
4 is changing very fast in ways that make us pretty nervous.
5 I think the last thing I saw from Scripps is forecasting for
6 Sacramento that the minimum temperatures in the summer will
7 go up four degrees. The maximum will go up two degrees.
8 And this year we've certainly hit the worst temperatures in
9 history in California, along with the drought.

10 So the bottom line is it's going to be a very
11 interesting conversation on Monday and Tuesday on the
12 science of climate change, in Sacramento.

13 COMMISSIONER MCALLISTER: Any further comments
14 from the dais?

15 Well, thank you all for coming. And thanks,
16 Heather, and the IEPR team. We're adjourned.

17 (Whereupon the 2015 Integrated Energy Policy Report Lead
18 Commission Workshop adjourned at 4:32 p.m.)

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of September, 2015..



MARTHA L. NELSON

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

September 8, 2015