

DOCKETED

Docket Number:	15-IEPR-10
Project Title:	Transportation
TN #:	206473
Document Title:	Transcript of 9/30/2015 Workshop on Energy Demand Cases and Forecast of Vehicle Attributes for 2015 Transportation Energy Demand
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/30/2015 4:47:37 PM
Docketed Date:	10/30/2015

CALIFORNIA ENERGY COMMISSION

STAFF IEPR WORKSHOP ENERGY DEMAND CASES AND
FORECAST OF VEHICLE ATTRIBUTES FOR
2015 TRANSPORTATION ENERGY DEMAND

DOCKET: 15-IEPR-10

CALIFORNIA ENERGY COMMISSION

1516 NINTH STREET

ART ROSENFELD HEARING ROOM - FIRST FLOOR

SACRAMENTO, CALIFORNIA 95814

WEDNESDAY, SEPTEMBER 30, 2015

Reported by:
Kent Odell

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES

Gene Strecker, Energy Commission

Courtney Smith, Adviser to Commissioner Scott

Aniss Bahreinian, Energy Commission

Eva Borges, Energy Commission

Jim Lyons, Sierra Research

John Michel, Energy Commission

Bob McBride, Energy Commission

Kevin Walkowic, National Renewable Energy Laboratory

Marc Melaina, National Renewable Energy Laboratory*

Ryan Kenny, Clean Energy

Guihua Hua, Air Resources Board

Jesse Gage

*online participant

I N D E X

Introduction	
Gene Strecker, Energy Commission	4
Overview of Revised Vehicle Attributes and Demand Scenarios	
Aniss Bahreinian, Energy Commission	8
California Vehicles Sales Weighted Average Pricing	
Eva Borges, Energy Commission	37
Light-Duty Vehicle Attributes	
Jim Lyons, Sierra Research	50
Maintenance Cost Attributes for Light-Duty Vehicles	
John Michel, Energy Commission	66
Medium and Heavy-Duty Truck Prices and Fuel Economy	
Bob McBride, Energy Commission	80
Medium and Heavy-Duty Vehicle Attributes and Their Effect on Fuel Consumption and Emissions	
Kevin Walkowic, NREL	93
Time To Fueling Station	
Marc Melaina, NREL	110
Adjourn	132
Reporter's Certification	133
Transcriber's Certification	134

1 P R O C E E D I N G S

2 SEPTEMBER 30, 2015 10:05 A.M.

3 MS. STRECKER: Good morning. I think we'll
4 get started. Thank you all for being here. It's a busy
5 time of year for those of us at the Energy Commission
6 that do forecasting work, so I'm sure everybody else
7 is just as busy as we are. Thank you all for being
8 here.

9 Before we get started, there's just a couple
10 of housekeeping items we'd like to take care of.

11 If you're not familiar with this building,
12 the restrooms are right outside of this room across
13 the hallway. And there's a little café/snack bar on
14 the second floor. Just look for the white awning at
15 the top of the stairs.

16 And in case of an emergency, please follow
17 staff out of the building and across the street to the
18 park, and we will get organized there in the unlikely
19 event of an emergency.

20 We are going to do a number of presentations
21 today. We'd ask you to hold your questions until the
22 end of each presentation and we'll give everyone an
23 opportunity to ask questions and make comments at the
24 end of each presentation.

25 We'll start off with questions and comments

1 by people in the room, followed by the people on
2 WebEx, and then last we'll go to the people who are
3 phone-in only.

4 And before we get started, I'd like to
5 introduce Courtney Smith in our executive office, and
6 she's going to come up and say a few words before we
7 really get going. Thank you.

8 MS. SMITH: Good morning everyone. As Gene
9 said, my name is Courtney Smith. I serve as adviser to
10 Commissioner Janea Scott. Unfortunately, she wasn't
11 able to make it here today, but I did want to just
12 thank you all for being here and I wanted to kind of
13 step back for a second and sort of give the big
14 picture for why this work that we're here to discuss
15 today is so important.

16 So some of you may or may not know this. A
17 lot of the forecasting work that staff do is really
18 integral to the policy decisions and the policy
19 framework that we create here at the Energy Commission
20 through our Integrated Energy Policy Report.

21 And so today I really want to invite the
22 public to give us your feedback. I know staff are here
23 today to present a new set of demands in areas when it
24 comes to transportation, vehicle forecasting. And our
25 ability to be able to reflect the policy scene that we

1 see right now is something that is a bit of a
2 challenging endeavor on the state level, and so any
3 input that you guys can provide to make sure that we
4 are reflecting state policies in the most appropriate
5 way would be very much appreciated.

6 This is particularly important given the
7 current suite of policies and goals that the Governor
8 and the Administration has laid out when it comes to
9 transforming our transportation sector as we move
10 toward a low carbon economy.

11 So thank you all for being here and I look
12 forward to hearing what you all have to say.

13 MS. STRECKER: Thanks, Courtney. And I'd like
14 to also agree with Courtney; we're really looking for
15 your feedback today.

16 We're going to be going through a little bit
17 of the scenarios or cases or inputs or whatever we
18 call them that we used for our preliminary forecast,
19 just as a review. And then we're going to follow that
20 up by some of the changes that we're going to be
21 making to our revised forecast.

22 Most importantly, we're going to be talking
23 about our vehicle attributes today, our forecasted
24 vehicle attributes for both light duty vehicles and
25 medium and heavy duty vehicles.

1 In our forecasting models for light duty
2 vehicles there's five attributes of particular
3 interest or influence, and when Aniss comes up here
4 she'll start to give you an overview of some of those.
5 And then for our medium and heavy duty attributes,
6 there's just two, vehicle prices and fuel economy.

7 I guess with that I'm just going to introduce
8 Aniss Bahreinian to come on up and start with an
9 overview of what we're going to be talking about
10 today.

11 And again, please feel free to comment. We're
12 really interested in hearing what folks have to say
13 about what we're doing for forecasts. Thank you.

14 MS. BAHREINIAN: Good morning. My name is
15 Aniss Bahreinian and I'm going to give you an overview
16 of the vehicle attributes and scenarios that we are
17 going to use in the revised demand forecast.

18 The purpose of this overview is to explain
19 why vehicle attributes are important, how we use it,
20 and which ones are the more important vehicle
21 attributes. And also, first of all, tell you what
22 those vehicle attributes are.

23 We divide this presentation into light duty
24 and medium and heavy duty. As most of you know, our
25 transportation demand forecast we cover all the

1 different sectors whether they are light duty or heavy
2 duty. We have a comprehensive set of models used to
3 generate energy demand forecasts.

4 We also are going to talk about scenarios. We
5 have made some changes to some of our input scenarios
6 since the preliminary forecasts and we'd like to share
7 that with you and seek your input regarding those
8 scenarios.

9 So the first thing we are going to do is to,
10 at least for the sake of this presentation, we'd like
11 to be clear on the distinction between case versus
12 scenario.

13 Case is a term that has been adopted by all
14 of the different offices that are involved in
15 forecasting at the Energy Commission in reference to
16 demand cases. So what we are talking about when we
17 talk about case, we are talking about energy demand
18 cases.

19 Energy demand is the output of the models,
20 and generally we have identified three, what we refer
21 to -- again, this is an internal term that we are
22 using -- common demand cases. These common demand
23 cases are composed of high, reference or mid, and low
24 demand forecasts.

25 Whether it is a forecast of electricity

1 demand or forecast or natural gas demand, which is not
2 in transportation, or whether it is transportation
3 energy demand, we all use the same terms, that is for
4 common demand cases.

5 And we use the same input. That is, all of
6 the demand cases across different offices are using
7 same prices, same fuel prices, same income
8 projections, and same population projects for each
9 respective scenario cases.

10 What I'm using scenarios here in this
11 presentation for is in reference to inputs. We have
12 many, many inputs in these forecasts, so I'm using
13 that term specifically for the inputs.

14 And it is important to know that some of
15 these inputs are whereas the demand forecast is
16 entirely generated by the staff, some of these input
17 projections, we are getting it from vendors. For
18 instance, income projections come from
19 Mooney'sEconomy.com and IHSS Global Insight.

20 Some of these input scenarios are projected
21 by contractors, such as vehicle attributes that Sierra
22 Research is projecting.

23 And some of those are coming from public data
24 or from other agencies. These other ones we obtain for
25 free; however, we are limited by the nature, by the

1 definition of the data that is coming from these
2 different free public sources, and that will require
3 more preprocessing before we can use them in our
4 demand cases.

5 So just keeping this in mind, common demand
6 cases, case refers to demand and scenarios refer to
7 inputs. This is also going to help us understand why,
8 for instance, in the high energy demand case we expect
9 everything to be higher, right? But in contrary, we
10 use low fuel prices. Whenever we are talking about
11 demand we know that if the demand is going to go up,
12 prices have to go down, so we use the low price
13 scenario for the high energy demand case. So this
14 distinction can also help that.

15 In addition to that, we don't have three
16 scenarios for all of our inputs. We have three
17 scenarios for most but not for all of our scenarios.
18 So this is going to make a little bit of distinction
19 between the two.

20 So what are the vehicle attributes? What are
21 we talking about when we talk about vehicle
22 attributes?

23 Vehicle attributes are basically different
24 characteristics that define a vehicle. Now, one
25 characteristic could be a color. You could have a red

1 car, for instance, and you could pay higher insurance,
2 as I have heard from some people. Or you could have a
3 car that is large. You can define a car by its body
4 type like SUV versus sports vehicle. You can define a
5 car by range. This is particularly of importance to
6 the EVs. You can also define a car by the amount of
7 time that it takes to fuel the car.

8 There are many different attributes.

9 Acceleration is an indicator of performance of the
10 car, for instance. Storage capacity. How big is the
11 car, how much stuff can you put into the car.

12 And also the fuel cost, which is quite
13 important. Fuel economy is very important to our
14 consumers. And fuel cost, depending on where the fuel
15 prices are, and where the relative fuel prices are
16 that's going to make a huge difference for different
17 cars of different fuel types and in different classes.

18 So these are different attributes, and
19 there's a lot more really. When you go to the store
20 and buy a car you consider a lot of different factors.
21 How comfortable you are in the car. How does the car
22 feel to you.

23 The problem is that there's no way for us to
24 model your feel or your comfort, so what we do, we try
25 to use those things that can be quantified, such as

1 the size of the car, for instance. Whether it is
2 midsize, large or small. Or the mpg, how many miles
3 per gallons does it take to drive this car.

4 Economic and demographic forecasts determine
5 the total vehicle population in California. So if we
6 want to look at the fleet size, if we want to forecast
7 fleet size, economic and demographic variables,
8 population, income, etcetera, are the factors that
9 drive the vehicle population on California roads. They
10 are the primary factors that will determine the fleet
11 size.

12 However, when it comes to vehicle
13 composition, composition of the fleet, then it is the
14 attributes and fuel prices that speak the last word.

15 What do we mean by fleet composition? For
16 instance, how much of the fleet is large vehicles, how
17 much of it is small vehicles, what percentage of the
18 vehicles are going to be EVs, what percentage is going
19 to be gasoline, which percentage is diesel, the fuel
20 type composition. All of these are going to be
21 influenced by fuel prices and the vehicle attributes.

22 So the vehicle attributes are important in
23 the sales of the new vehicles. We can say what the
24 population of the fleet is going to be, population of
25 the cars in California are going to be, but in order

1 to determine the composition of this fleet, we will
2 need the vehicle attributes.

3 So in our models consumers choose from ten
4 different fuel vehicle technology composition. One is
5 gasoline. Another one is gasoline electric hybrid.
6 Most people just know it as hybrid. We try to
7 distinguish that. Gasoline can also be used in flex
8 fuel to fuel flex fuel vehicles, but so can E85.

9 So we have flex fuel vehicles, that's another
10 fuel technology type. Diesel is one. Diesel electric
11 hybrid is another one. CNG, compressed natural gas is
12 one vehicle. And again, gasoline can also be used in
13 dual CNG gasoline fuel types. Battery electric
14 vehicles. But we also have plug-in hybrid electric
15 vehicles, PHEVs. And we also have hydrogen fuel cell
16 vehicles.

17 So all of these different fuel vehicle
18 technology combinations are choices for our consumers.

19 Our consumers also have a choice of 15
20 different classes of vehicle. There are a number of
21 models that are operating in different places and are
22 used for different studies, and some of these models
23 only distinguish between cars and trucks, so those are
24 the only two choices that are available to consumers.

25 In our model we have pretty extensive, I

1 think probably more extensive than any other models.
2 We give them the choice of 15 different classes of
3 LDVs.

4 What are these? These are subcompact,
5 compact, midsize, large, and sport cars. So as you can
6 see, already we have four car classes here. No, five
7 car classes here.

8 We also have three classes of cross utility,
9 three size classes of sport utility vehicles. So we
10 don't have just one sport utility vehicle, we don't
11 have one SUV, we have three different sizes. We have
12 compact, midsize, and large SUVs.

13 We also have two classes of vans and two
14 classes of trucks.

15 Our surveys have shown, actually, that
16 consumers have particular preferences for different
17 classes of vehicle. They don't consider all cars the
18 same, and they don't consider all trucks the same. And
19 once they make a decision on picking a specific class
20 of vehicle, they have somewhat made up their mind. So
21 there are distinct preferences for different classes
22 of vehicle.

23 We should also notice that what we do at the
24 Energy Commission, we do not forecast demand for
25 different vehicles by make and model. Rather, we

1 forecast demand for vehicles by class, by vehicle
2 class. So everything that we do is a class average. So
3 all the prices that Jim Lyons is going to present
4 later in the day, these are class-based prices. These
5 are class-based MPGs. These are class-based attributes
6 in general.

7 We all know that brand loyalty is quite
8 important to a lot of people. Some people always buy
9 Toyota. Some people always buy a Chevy. Some people
10 always buy a Honda. Brand loyalty is important. It is
11 just that we do not account for that in our model, but
12 we do know it is important.

13 Instead, what we do, we look at the total
14 number of makes and models within a class, and that is
15 an indicator of choice for our consumers.

16 Mid-size class, for instance, is the highest
17 selling class among the vehicles, and it has about 121
18 different makes and models in it. That is very
19 substantial. It has the highest number of makes and
20 models in it.

21 So the question is, well, are consumers
22 buying it because there are 121, because there are
23 more choices in this class? Or are the manufacturers
24 producing more because they know consumers prefer this
25 class size? I can't give you a definitive answer, but

1 what I can tell you is that in our model we make the
2 assumption that consumers are buying more of this
3 because there are more vehicles in this class, because
4 there are more makes and models. That is an underlying
5 assumption of our model.

6 So among these vehicle attributes, vehicle
7 price is a very important factor. If you go to the
8 dealership and want to buy a car, you have to be able
9 to afford that car, one way or the other, whether you
10 are getting a loan or whether you are paying out of
11 pocket or what have you, you have to have the money in
12 order to purchase that car.

13 So vehicle price, not only in our survey but
14 also in most of the studies that have been conducted,
15 is one of the most important factors.

16 However, we should caution everybody that not
17 all prices are the same. We have manufacturer
18 suggested retail price, you're going to see that on
19 every car when you go to any dealership. You're going
20 to actually see that on everything that you buy. Any
21 piece of clothing that you have on you, if you look at
22 the tag it has MSRP. But how many of you have actually
23 paid that MSRP? Usually these MSRPs are higher than
24 the prices that the consumers are paying for the
25 product.

1 However, it is an indicator when you're
2 looking across different makes and models that a
3 manufacturer manufactures, this is a good indicator of
4 differences in cost of different cars.

5 Manufacturer suggested retail price also
6 includes the dealer markup and it includes the cost of
7 some of the more popular options that come with the
8 car automatically on a base car that is sold on the
9 market.

10 Transaction price, on the other hand,
11 includes not only those options that come usually with
12 the car but also additional options. For instance, if
13 you want to have a sun roof on your car, you have to
14 pay extra for that. So these additional options keep
15 adding to the price so you could leave a dealership
16 paying a higher price there for it.

17 Also, the transaction price, we should notice
18 that it excludes government incentives such as rebates
19 and tax breaks.

20 These transaction prices are also influenced
21 by your negotiation skills. Once you go to a
22 dealership and try to negotiate a price, it depends on
23 how good of a negotiator you are. If you go to a
24 dealership you could get the same car at, say, \$500
25 lower than someone else that has bought the exact same

1 car. So it depends on your negotiation skills as well
2 as the salesman's negotiation skills, so it is really
3 individualized.

4 It can also change over time, these prices
5 can change over time. In the beginning when a model is
6 offered, let's say right now we have 2016 models
7 coming to market, the price may be higher than at the
8 end of it. In 2017 we still are going to have some
9 2016 model years that are going to be sold but most
10 likely the prices are going to be lower because
11 whatever is left is what has not been sold and usually
12 dealers and manufacturers are going to offer greater
13 discounts at the end compared to the beginning.

14 So what are these prices? These are some
15 examples of the national market. This is not
16 California market but the national market. As we can
17 see here, we have average new MSRPs here, and you can
18 see that it varies from one year to another year.

19 After the MSRP you have the manufacturer
20 incentives. You also have the dealer incentive. This
21 is going to result in total discounts of over \$4,000
22 in 2012 and over \$5,000 in 2013.

23 As you can see here in the bottom row, you
24 have the percent of the total discounts. Now, these
25 are private discounts, there's no government incentive

1 here, these are private discounts. So the percentage
2 of the total discount, that is manufacturer plus the
3 dealer incentives, are a bit over 13 percent in 2012,
4 but they are a bit over 14 percent in 2013.

5 What has caused these changes? Why do we have
6 a higher percentage of discount in 2013 compared to
7 2012? There are a large number of factors that we are
8 not really going to be able to pinpoint it unless we
9 do a study of that.

10 The point here is that these are going to
11 change over years, these are going to change over
12 time. That's the main point. And that there is a
13 difference between the MSRP and the transaction price
14 and how close they are to each other is going to vary
15 over time and over years.

16 So MSRP almost always exceeds the negotiated
17 or transaction price, so we have looked at that and we
18 have seen that in almost all cases MSRP is higher than
19 the transaction price.

20 Eva Borges is going to later talk about the
21 transaction prices that she has arrived at using the
22 DMV data.

23 I think I have seen only a couple cases of
24 when MSRP is below the transaction price, and that is
25 when buyers are adding a whole bunch of options to it.

1 I think I saw the case in Tesla when, of course Tesla
2 buyers have a lot of money so they keep adding all
3 these fancy options to it and you could reach a
4 transaction price that is higher than MSRP. But for
5 everybody else for the most part what you can say is
6 that MSRP exceeds the transaction price.

7 To comply with regulations manufacturers can
8 distribute profit differently among different models.
9 So what does that mean?

10 That means, for instance, if a manufacturer
11 is producing, let's say ten different vehicles, they
12 can have a loss on one vehicle and still they could
13 have profit for the corporation, because what they do,
14 they shift the profit centers from one vehicle to
15 another vehicle.

16 This is a mechanism that can be used to
17 comply with regulations. The manufacturers can price
18 the EVs lower than what they would otherwise have in
19 order to promote these vehicles in the early phases of
20 the market. And then they can make adjustments as the
21 sales go up, then they can benefit from the economies
22 of scale, and the economies of scales can result in
23 cost reductions that can increase profit for the
24 manufacturers. But in the beginning phases this can
25 certainly be used as a strategy by the manufacturers

1 in complying with different regulations.

2 Sales rated average price, which is what Eva
3 Borges is going to present, is based on transaction
4 price and the number of vehicles sold of each of these
5 vehicles in the market.

6 So for instance, in the midsize class what
7 she has done is taken the transaction price of over
8 121 different makes and models and used the sales
9 volume of each one of these 121 models in order to
10 arrive at the sales weighted average price of these
11 vehicles.

12 The sales weighted average prices are good
13 for historical data. So we know if we have sold these
14 many vehicles in 2014, if we know we already have sold
15 this many vehicles in 2013, when we use the sales
16 weighted average price we know that these are the
17 price movements. These are the price movements that
18 may have been responsible for causing the rise or
19 decline in sales.

20 We also look at the attributes for medium and
21 heavy duty vehicles. We should notice that while for
22 light duty vehicles we have elaborate vehicle choice
23 models in multiple segments in more than one market
24 segment.

25 When it comes to medium and heavy duty,

1 Energy Commission does not have a vehicle choice
2 model. So we don't really use the vehicle attributes
3 for choices but we do have, our models do allow for
4 use of a market penetration rate, and that is what we
5 need those attributes for.

6 What we do in a preprocessing step, Bob
7 McBride uses the vehicle price and fuel economy
8 forecasts that have been generated by Sierra Research
9 using it in Argon Truck 5 model, in order to generate
10 market penetration of different medium and heavy duty
11 vehicle -- actually only trucks, by different fuel
12 types. So it is used in that way.

13 It can say, for instance, that let's say in
14 2020 percentage of natural gas vehicles is going to
15 reach, say, 15 percent or something like that. That's
16 what we call as market penetration.

17 Now we are going to talk about is the
18 scenarios. These are the LDV scenarios we are going to
19 talk about first. And of course I have chosen my shirt
20 to match the color of the car I have in this picture,
21 both red, as you can all see. This is a Tesla, one of
22 my favorite cars.

23 When it comes to preliminary forecast
24 scenarios, we had the three common demand cases and
25 they were defined by three different sets of model

1 inputs for energy prices, income, and population.
2 Those are still going to remain the same in the
3 revised version.

4 In the preliminary forecast we also used one
5 set of light duty vehicle attributes which was
6 identified as reference scenario. We used one scenario
7 because that was all that was available at the time
8 and it was the same set of values that we have used
9 for the 2013 IEPR. So for the preliminary forecast we
10 used our 2013 vehicle attributes for the reference
11 case, and there's only one case.

12 Demand cases are defined as high energy
13 demand with low energy prices, high income and high
14 population growth. This is going to create the higher
15 boundaries of our demand. That doesn't mean that in
16 reality we are not going to exceed that.

17 In the reference case we have the reference
18 energy prices, income, and population growth.

19 In the low energy demand case we have the
20 high energy prices, low income, and low population
21 growth.

22 We know for a fact that even compared to our
23 price projections in preliminary IEPR which was used
24 in order to generate the preliminary demand forecasts,
25 even our prices have changed since then. They have

1 gone even lower, the fuel prices. Petroleum prices,
2 more specifically.

3 How did we comply with ZEV in our preliminary
4 demand forecasts?

5 ZEV regulations are targeting, are meant for
6 manufacturers. Manufacturers need to comply with this.
7 So in great sense, ZEV regulations really apply to the
8 supply side of the equation.

9 We do not have a supply model. We do not have
10 a light duty supply model. And therefore, in all of
11 the past different IEPRs we have been working with
12 different contractors in order to generate the vehicle
13 attributes for us. And as part of our direction since
14 ZEV regulations are meant for manufacturers, we have
15 asked them to generate these vehicle attributes in a
16 way that they can meet the ZEV regulations.

17 We should also say that there are also state
18 and federal ZEV incentives, so when it comes to the
19 demand side of the equation, we are in charge of that.
20 And we use the incentives such as rebate, tax credit,
21 HOV lane access, all of those we use that in our
22 demand models.

23 In the past we also have held the consumer
24 preferences constant. We have done that in the 2015
25 IEPR preliminary forecast and we have done that in all

1 of the previous IEPR forecasts in the past.

2 However, in this revised forecast what we are
3 going to do is to leverage a model enhancement that we
4 initiated in 2014 and we added a time dimension to
5 consumer preferences. So what we are going to do for
6 the revised forecast, we are going to actually change
7 consumer preferences. Staff is going to use the three
8 scenarios for each of the following two attributes.
9 It's vehicle price and makes and models. We do have
10 three scenarios for those.

11 Vehicle prices have been derived from the
12 LAVE-Trans model, which is the same model that has
13 been used by NRC and also in David Greene's study of
14 transition to alternative fuel vehicles. And so we are
15 going to use the prices that have been developed using
16 LAVE-Trans model based on the fuel prices that we
17 have, based on our revised fuel price forecast.

18 Sierra may also take more aggressive measures
19 such as greater ZEV vehicle price reductions to ensure
20 that ZEV compliance happens in the reference case.
21 Sierra will be talking about that later.

22 Now, in the revised forecast we are going to
23 use three plug-in vehicle demand cases, but these PEV
24 demand cases are very much in line with our vehicle
25 demand cases, and our vehicle demand cases are very

1 much in line with our energy demand cases. So I'm
2 singling out the PEVs here but we really are talking
3 about light duty vehicle demand cases and the energy
4 demand cases with particular emphasis on PEVs.

5 In the low PEV demand case we have no change
6 in consumer preferences, we keep it the same, just as
7 we have done in all the previous IEPRs and in
8 preliminary IEPR. It is plausible with the current
9 petroleum prices at the levels that they are, we can
10 reach a low PEV demand.

11 However, when it comes to the reference case,
12 what we are going to do is to increase consumer
13 preferences in favor of ZEV until we meet ZEV. This is
14 what we are going to do in the revised forecast.

15 In the high PEV demand case, which is also
16 going to be the high LDV demand case, which is also
17 going to be the high energy demand case, we are going
18 to be continuously increasing preferences just as we
19 did in the reference case, but this time since our
20 high demand case is also associated with high income
21 and high population growth, we should be reaching
22 higher levels of PEV demand.

23 This is a departure from past practice, as I
24 have been saying it for a number of times now. The
25 revised reference case forecast will be further

1 constrained to meet the ZEV regulations, but
2 particularly the most likely scenario of the ZEV.

3 This chart here is putting everything in
4 perspective, making it easy for people to see things
5 very clearly in a transparent way.

6 As you can see here, the column on the left-
7 hand side has the common demand cases; high,
8 reference, and low. And the columns are going to
9 indicate different scenarios of different inputs that
10 we are using in each of the demand cases. As you can
11 see here in the high demand case, we are using the low
12 fuel prices.

13 What is different in the revised forecast is
14 the last column, consumer preferences. In the past, as
15 we have said, it all has stayed the same, constant, we
16 have not changed consumer preferences. But now we are
17 going to change consumer preferences. We are actually
18 going to increase preferences in favor of ZEV
19 vehicles.

20 Do we have grounds for it? Is it reasonable
21 to do that?

22 First of all, keeping it constant was only
23 because we really couldn't forecast consumer
24 preferences. There is no good reliable way to forecast
25 consumer preferences. In the future we do know,

1 however.

2 If you look at the last three or four years,
3 we have seen that consumer preferences for EVs have
4 gone up. It is a fact. People are not viewing EVs the
5 same way that they did four years ago.

6 In large part perhaps thanks to Tesla because
7 they have infused so much style and performance into
8 Tesla that they have made it really cool. Everybody
9 would like to have one, they have made it really
10 popular. On the other hand, Nissan has worked hard to
11 make it more affordable.

12 So there are increased consumer preferences
13 for these vehicles since 2013, so there are some
14 grounds for actually implementing these increased
15 preferences.

16 The question is how do we do that? Is there a
17 way to project this into the future?

18 The way we are going to do is to increase it
19 so much so that it will meet the ZEV regulations,
20 that's how we are going to do it. Is there's any
21 better idea, then please let us know.

22 Any questions? I know that you said at the
23 end, but I'm open to any questions any time.

24 How about the medium and heavy duty
25 scenarios. Well, the truck that you see on the right-

1 hand side, that's called Wave, that is the Walmart
2 advanced technology vehicle. You see it is pretty
3 cool, too.

4 The preliminary 2015 IEPR forecast we had
5 three demand cases that are defined in the same way
6 for the LDVs. In the preliminary 2015 IEPR staff used
7 one CNG market penetration rate, so the only other
8 fuel that we actually used in the preliminary forecast
9 was really the CNG. This is the CNG market penetration
10 rate.

11 Which was the same thing as the one that was
12 used in 2013 IEPR. This was derived from National
13 Petroleum Counselor, NPC's work in 2012, which was
14 based on 2010 EIA fuel price forecast.

15 You can imagine that in 2010 EIA fuel price
16 forecasts were more favorable to natural gas than they
17 are today. The price differences between diesel and
18 natural gas have changed substantially.

19 Therefore, for the revised forecast we are
20 going to use the new price forecast that we have plus
21 the vehicle price and the fuel economy forecast that
22 Sierra Research has developed, used them in the Truck
23 5 model to generate multiple market penetrations for
24 multiple fuel types, not just CNG but also other fuel
25 types. Bob McBride is going to get into the details of

1 this.

2 Later in the day, in addition to Bob's
3 presentation on heavy duty vehicles, we are also going
4 to have NREL, who is going to make a presentation on
5 heavy duty vehicle attributes. I guess that one is at
6 the end of the day.

7 I should also add that another -- well, we
8 don't consider it a vehicle attribute but a fuel
9 infrastructure attribute, which is fuel station
10 availability, is of particular importance to FCVs, and
11 Mark Maleina of NREL is going to talk about fuel
12 infrastructure and fuel station availability later in
13 the day.

14 Questions?

15 MALE VOICE: This question is from Sam
16 Pournazeri (phonetic) who asks do you consider the
17 role of incentives and policies in market share
18 forecasts?

19 MS. BAHREINIAN: I'm going to have to let Bob
20 answer that. I believe yes, but in order to get a more
21 precise answer I'm going to let him respond to that
22 since he is the one who is using those prices in Truck
23 5 model.

24 MR. MCBRIDE: I wanted to repeat the question
25 so...

1 MALE VOICE: Do you consider the role of
2 incentives and policies?

3 MR. MCBRIDE: Do you consider the role of
4 incentives and policies?

5 MALE VOICE: Yeah.

6 MR. MCBRIDE: In a medium and heavy duty
7 market share forecast. Today we're going to talk about
8 input attributes, just vehicle prices and fuel
9 economy. But yes, there's an opportunity in the truck
10 model to insert an incentive. We can't really
11 distinguish those between manufacturer and other
12 incentives or subsidies, but we can insert them. Hope
13 that answers the question.

14 MS. BAHREINIAN: So the answer, I believe,
15 would be in part by price reductions you can include
16 some of those incentives.

17 Any other questions?

18 MALE VOICE: The other question from
19 Alejandro Komai. His question is would it also be
20 possible to, instead of increasing preferences until
21 ZEV is met, decrease EV prices until ZEV is met?

22 MS. BAHREINIAN: Of course it is possible to
23 do that but we are not sure how much that price
24 reduction is going to be, but we can generate a
25 forecast using exactly that.

1 In other words, further decreasing prices,
2 that means in addition and on top of what Sierra
3 Research has come up with. Keep in mind that their
4 direction has been to change the price or present
5 price forecasts that they believe is going to meet the
6 ZEV mandate. So if you do anything above that it's
7 going to be additional price reductions. But we can
8 certainly look into that.

9 MR. KENNY: Good morning. My name is Ryan
10 Kenny, I work for Clean Energy. We're the nation's
11 largest provider of natural gas transportation fuel
12 and renewable natural gas.

13 Just referring back to Slide No. 6, and I'm
14 not sure if it's a slight oversight, but there is the
15 universe defined as ten fuel vehicle technologies. I
16 just noted that liquefied natural gas and renewable
17 natural gas is not listed as one of the technologies.

18 And as you may have heard, a week or two ago
19 ARB did certify a .01 NOx heavy duty engine, and
20 combined with renewable natural gas and heavy duty
21 space it would be the cleanest vehicle possible. So I
22 just wanted to make sure that's included in the
23 conversation. Thank you.

24 MS. BAHREINIAN: I think that these are for
25 LDVs, light duty vehicles, and I don't know of any

1 light duty vehicle that runs on LNG, but we do include
2 LNG for the heavy duty vehicles.

3 MALE VOICE: And one more question from Erik
4 Seilo at SCE. How do we factor in very low lease
5 prices?

6 MS. BAHREINIAN: Thanks for that question.
7 Our models, in our survey we did ask people about
8 leases, but our models are not accounting for lease.
9 We consider all leases as purchase.

10 So you area really right. That is something
11 that we are going to look into in the next round of
12 survey to see if we could model that, but there were
13 issues with consistency in duration of lease and
14 different rates that we couldn't include it, but we
15 certainly are going to look into it again for the new
16 forecast. Or for the new survey -- sorry, not for the
17 new forecast.

18 Any other questions?

19 MS. SMITH: This is Courtney Smith from the
20 Energy Commission. On Slide 17 you present the revised
21 forecast approach to dealing with the ZEV mandate, and
22 I'm really excited to see that. I see that the cases,
23 however, are constructed to focus largely on the plug-
24 in electric vehicles, and so we're assuming that
25 preferences are going to be increasing solely on the

1 electric vehicle side, and I think there's some
2 reasons for doing that for certain.

3 But I'd like to maybe start a conversation
4 around how hydrogen fuel cell vehicles fit into that.
5 I know that there's some folks here from the Air
6 Board, so I don't know if they have any ideas on how
7 the Air Board is seeing compliance moving forward with
8 the two different technology types, and would love
9 some conversation around how we think about that
10 moving forward.

11 MS. BAHREINIAN: Just one point of
12 clarification. We are increasing preferences for all
13 ZEV vehicles, which means both FCVs, PHEVs, and EVs.
14 We are increasing preferences for all of them and it
15 is all meant to meet the ZEV regulation requirements,
16 all of those are going to be met.

17 One of the reasons why we just focus on PEVs
18 is that our other half in the demand analysis
19 generates demand for electricity, and so they rely on
20 our forecast for their forecast of electricity, that's
21 why. Otherwise, we are meeting all of the different
22 fuel types in ZEV.

23 But we will be very interested, as Courtney
24 said, in hearing anything that you have to say about
25 any one of the ZEV vehicle scenarios.

1 FEMALE VOICE: Excuse me. What is the name of
2 the model that you used for forecasting.

3 MS. BAHREINIAN: For light duty vehicle or
4 for all of them?

5 FEMALE VOICE: For all of them.

6 MS. BAHREINIAN: For all of them we have a
7 software that we call Dyna Sim and we are -- which is
8 short for Dynamic Simulation -- and we house all of
9 our different models in Dyna Sim.

10 We do have a freight model. We have an urban
11 travel model which is a short distance travel model.
12 We have an intercity travel demand model which is long
13 distance travel demand model. We have a light duty
14 vehicle model for households, we call it personal
15 vehicle choice model. And then we have a commercial
16 vehicle choice model. In addition to that, we also
17 have an aviation demand model.

18 So we have multiple models, there are five or
19 six different models that are housed into one
20 software.

21 FEMALE VOICE: But they're all simulation
22 models.

23 MS. BAHREINIAN: They are all, yes. We
24 simulate for, yes, demand in the future.

25 Yes.

1 MR. HUA: Hello, I'm Guihua Hua (phonetic)
2 from ARB working on renewable source emissions
3 forecasting. I have a clarification question about
4 vehicle attributes.

5 The price is listed as one of the vehicle
6 attributes, so what kind of price, is that MSRP or OTD
7 price, or just the overall price the car retail for
8 average. Thank you.

9 MS. BAHREINIAN: Thank you. So the question
10 is what kind of price do we use, what kind of price do
11 we forecast. I'm going to let Sierra Research answer
12 that question.

13 What is important for our choice models
14 really are the relative prices. Whether we are using
15 MSRP, the difference between MSRP and the transaction
16 price when you are looking across different vehicle
17 classes and fuel types, you could see that the ratios
18 are kind of the same. And what is important for the
19 choice model are the relative price of these vehicles.
20 Not that we use them but in reality that's what
21 matters.

22 So is the relative price of fuels. If
23 electricity, for instance, goes up relative to
24 gasoline, then it is going to have impact on demand
25 for EVs. So both relative fuel prices and relative

1 vehicle prices are important, but I'm going to let Jim
2 Lyon of Sierra Research to respond to that question.
3 Usually they use MSRP but he can answer that.

4 MR. LYON: We've been doing our price
5 forecasting in terms of MSRP. As you may be aware,
6 transaction price data and the public demand are
7 fairly sparse and difficult to obtain, so that's why
8 we've used that approach.

9 MS. BAHREINIAN: Any other questions,
10 comments, suggestions? If there are no other questions
11 or comments, I'm going to introduce Eva Borges. She's
12 going to talk about the sales weighted average prices
13 that we briefly referenced in my presentation.

14 At any time, later even in the day if you
15 come up with a question related to anything I said,
16 please feel free to ask those questions. Thank you.

17 MS. BORGES: Good morning, everybody. Today
18 I'm going to present a general overview of vehicle
19 prices. For the past five years you've seen the sales-
20 weighted average price with California specific data.

21 So the DMV data is the only source that we
22 use to calculate the sales-weighted average price for
23 new vehicle sales in California. The sales-weighted
24 average price requires two data items generated from
25 the DMV data, and those are the new vehicle sales and

1 the vehicle prices. And here is a brief description of
2 what these two data items include.

3 The new vehicle sales have the monthly sales
4 with make, model, series, model year, sell date,
5 vehicle class, fuel type, and estimated price.

6 The estimated price is the calculated value
7 from some purchase prices that DMV provides and these
8 represent the transaction price after manufacturer
9 incentives and before taxes and government incentives.

10 So with these two items we can calculate the
11 sales-weighted average price for each make and model
12 and for each vehicle class, specifically for light
13 duty vehicles.

14 We have some data limitations in this
15 analysis. The first one is that the oldest data that
16 we have available for the sales-weighted average price
17 is 2010, so as of today we have only five years of
18 historical data.

19 The second limitation is that any vehicle
20 with a purchase price above \$96,600 is set in the DMV
21 database with an estimated price of \$96,600, and this
22 is because the purchase price the DMV provides is
23 based on the vehicle license fee code, that's the
24 limitation.

25 So for luxury cars that have a price above

1 this limit number, it's not a big impact in the light
2 duty vehicles because they only represent less than
3 one percent of the new vehicle sales in the light duty
4 vehicles, but it represents a limitation for medium
5 and heavy duty vehicles because they are mostly higher
6 than \$96,000. So the sales-weighted average price is
7 then applied only for light duty vehicles because of
8 this reason.

9 And as mentioned before, the sales-weighted
10 average price is calculated by vehicle classes and by
11 fuels or technologies, so here we have a list of the
12 15 light duty vehicle classes and the 8 fuels or
13 technologies that apply for light duty vehicles.

14 And we also include some examples of models
15 in each class. We also calculate the sales-weighted
16 average price for each make and model that is in the
17 class.

18 It's important to mention that I'm going to
19 be using the two main groups to explain some findings
20 that we have from prices, so I'm going to be car as
21 one group and light trucks for another group, and then
22 I will go deeper to one of the classes in each group.

23 So here is an example of the sales-weighted
24 average price for 2014 diesel compact cars sold in
25 2014. So we have the two elements for the sales-

1 weighted average. In the horizontal axis we have the
2 estimated prices that were paid for diesel compact
3 cars, and in the wide axis we have the number of
4 vehicles sold at each estimated price.

5 So for this class, the compact diesel, we had
6 two main makes competing in this group, so we have
7 Volkswagen and BMW. We can see the two big groups in
8 the chart, they are a different range of prices. And
9 in total we have only five makes and models combining
10 with the two makes.

11 So using the estimated price and the volume
12 of sales, we got a sales-weighted average price of
13 \$31,000 for a 2014 diesel compact car.

14 We also include the simple average price just
15 to see the difference against the sales-weighted
16 average price. In this case this was \$6,000
17 difference.

18 Now I'm going to present some charts and
19 tables using the five years of data that I mentioned
20 we have available.

21 This chart represents basically the market
22 share of fuels and technologies in new vehicle sales.
23 In the table we have -- it's very small, but we have
24 the percentage of sales of each fuel and technology
25 per year.

1 The problem with this table, and we couldn't
2 change it, it was too late, but is that the actual
3 penetration of the fuels and technologies cannot be
4 really appreciated combining all the classes, so we
5 broke this analysis into cars and light trucks that I
6 mentioned before, and that's how I'm going to explain
7 a little bit. Sorry about the numbers, they're not
8 going to represent what I'm saying.

9 But let's start with the light trucks. In
10 this group they have no big changes of penetration of
11 alternative fuels or technologies. In the last five
12 years 90 percent of the new light trucks sales have
13 been gasoline or ethanol, so only four percent having
14 shared within the remaining fuels and technologies.

15 Now let's focus on the cars group.

16 In 2010 92 percent of the new vehicle car
17 sales were gasoline or ethanol, and by 2014 it was
18 reduced to 84 percent. So it went from 92 percent to
19 84 percent.

20 Of the remaining 16 percent, 9 percent were
21 hybrids, almost 3 percent PHEVs -- and this is only on
22 cars, okay -- and diesel and battery electric were
23 around 2 percent of the total sales of cars. There
24 were very few of natural gas and almost zero for
25 hydrogen.

1 So this chart also has the new vehicle sales
2 but now by classes, okay, these include all the sales.

3 Again, in order to identify the changes
4 within classes we had to do the analysis by cars and
5 light trucks first. The table again is showing
6 combined data so I'm going to explain it by groups.

7 On average 65 percent of the new vehicle
8 sales are cars and 35 percent are light trucks in the
9 last five years that we have. In the light trucks have
10 not been showing any changes between classes, they
11 have been constant in the percentage or the
12 preferences.

13 The closed utility trucks, for example, have
14 had 50 percent of the market, followed by the pickups
15 with 24 percent every year. The SUVs have 14 percent,
16 and the vans have 13 percent.

17 In contrast with the car market we can see
18 some changes between classes. In 2010 the midsize car
19 had 32 percent of the market, and by 2014 it rose to
20 51 percent. So people started moving to midsize cars,
21 especially the subcompact and the large one. The
22 compact car stayed constant and it's actually the
23 second largest class with about 3 percent on this
24 market. The sports car, they stayed constant with
25 around 3 percent every year.

1 So now I'm going to show some specific sales
2 and sales-weighted average price for the largest class
3 in sales, which is the midsize.

4 As mentioned before, alternative fuels and
5 technologies have had real impact on the cars market
6 and light trucks. So midsize car is a class where the
7 hybrids have had the largest impact or penetration.
8 They represent the second largest portion in sales in
9 this class, in the midsize. In 2014 gasoline and
10 hybrids accounted for 94 percent of the new vehicle
11 sales in midsize cars. Of the remaining 6 percent, 3
12 percent were PHEVs -- this is in 2014 -- 1.4 percent
13 were flex fuel vehicles, and another 1.4 are diesel.
14 Battery electricity cars had almost 1 percent of sales
15 in 2014.

16 Flex fuel vehicles went down, as you can see.
17 In 2013 they had 6.6 percent, and by 2014 they went
18 down to 1.4 percent. And this is because some of the
19 top selling models switched to large cars, so the
20 sales are counted but in a different class, such as
21 the Dodge Charger. And also the Chevrolet Malibu was
22 not produced in 2014 as a flex fuel model.

23 So now let's see the sales-weighted average
24 price in this class. This class shows the prices for
25 each fuel or technology in the last five years. And

1 the table is showing the difference in prices against
2 the gasoline midsize car. The one in parentheses
3 indicate the lower price than gasoline.

4 So let's start with the gasoline cars. They
5 have gone from \$29,000 in average in 2010 to \$26,000
6 in 2014. They are \$3,000 cheaper actually with their
7 fuel economy.

8 The hybrids is the next fuel. They have gone
9 in the opposite direction. They start with the sales-
10 weighted average price of \$26,000 in 2010, and they
11 went up to \$29,000 in 2014. By 2014 a hybrid car was
12 \$2,000 more expensive than gasoline cars in average.

13 The flex fuel vehicles were cheaper the first
14 four years of this data, and that's when they
15 increased the market share as we can see in the
16 previous slide. So you see the flex fuel vehicles
17 here. In 2010 they only had 3.5 percent, and by 2011
18 they increased to 6.7 percent. But in 2014, like I
19 say, it went down to 1.4 because some of the top
20 models they moved to large cars. And the Chevrolet
21 Malibu, which is also one of the best sellers, was not
22 produced in flex fuel vehicles in 2014. So by 2014 in
23 average the flex fuel vehicle was \$5,000 more
24 expensive than a gasoline car.

25 The price of PHEV hasn't changed much in the

1 last five years. They have been between \$33,000 to
2 \$34,000. The difference in price against the gasoline,
3 we can see is \$7,000, \$5,000, \$6,000. It's basically
4 because the gasoline cars are getting cheaper, so
5 that's why there is a difference bigger. We know that
6 the top selling PHEV is the Toyota Prius in this
7 class.

8 The price for battery electricity cars is
9 actually going down from \$35,000 in 2010 to \$30,000 in
10 2014, and the only option is the Nissan Leaf in this
11 class.

12 The price of a diesel midsize car, which is
13 almost the last one, went down in 2012 because of the
14 introduction of the Volkswagen Passat. By 2014 there
15 were new models from Audi and BMW with very good
16 sales, so that's why the price or the difference in
17 price against gasoline is bigger now, it's almost
18 \$14,000 more expensive than a gasoline car.

19 Now I'm going to talk about the second
20 largest class, which is a car also, a compact car.

21 The market share of gasoline in the compact
22 cars has been reduced from 95 percent in 2010 to 85
23 percent in 2014. So the remaining 15 percent in 2014,
24 6 percent are hybrids, 4 percent are PHEVs, followed
25 by the diesel with a 3.4 percent.

1 For flex fuel vehicles there are new models
2 offered in 2012. Dodge, Buick, and Cadillac, they
3 started offering flex fuel vehicles, so the market
4 increased to 1.7 percent.

5 For electric cars there are only two models
6 in this class, the Ford Focus and the Honda Fit. The
7 sales of hybrid electric cars are growing but they
8 still have low penetration in the market with only
9 have a percentage in 2014.

10 Natural gas we only have the Honda Civic. So
11 that's on the prices in this class.

12 This graph shows the sales-weighted average
13 price for each fuel and technology for compact cars.
14 The table is showing the difference in prices against
15 gasoline. And again, the one in parentheses indicates
16 a lower price than gasoline.

17 Gasoline cars have gone from \$22,000 in 2010
18 to \$26,000 in 2014, so this is a similar price than a
19 midsize gasoline car in average.

20 The hybrids have gone from being \$10,000 more
21 expensive than gasoline in 2010 to being \$1,000
22 cheaper than gasoline in 2014.

23 Diesel compact cars have been known to be
24 more expensive than gasoline in general. And as an
25 example, the Volkswagen Jetta in diesel has a price of

1 \$26,000 and the version in gasoline has a price of
2 \$20,000, so the same car with different fuels, diesel
3 is more expensive.

4 The price of PHEVs have been around \$40,000
5 with Chevrolet Bolt leading this class. The sales-
6 weighted average price for a Chevrolet Volt has been
7 reduced from \$43,000 in 2010 to \$34,000 in 2014.
8 Prices of PHEVs have changed from \$21,000 more
9 expensive than gasoline to only \$9,000. Well, it's
10 still high but it's better than \$21,000.

11 For flex fuel vehicles we have new models
12 from Audi and BMW that were introduced in the last two
13 years, and that increased the price of the flex fuel
14 vehicles.

15 Battery electric cars went from \$39,000 in
16 2012 to \$33,000, so they reduced the price, but they
17 are still more expensive by \$7,000 more expensive than
18 a gasoline car.

19 The price of a natural gas compact car, the
20 Honda Civic, was actually very close to a gasoline,
21 but it was not successful in the market.

22 The last class that I'm going to show is the
23 cross utility small truck, is the third largest class
24 in sales and it comes from a different group from the
25 trucks.

1 As mentioned before, the truck market has not
2 seen much changes in the penetration of alternative
3 fuels or technologies. Gasoline or ethanol has
4 accounted for 96 percent of the light truck market.
5 And specifically for the cross utility small truck, 98
6 percent of the sales are gasoline or ethanol.

7 Sales of hybrids in the light truck market
8 have gone down every year in general in the trucks.
9 Some examples are the Ford Escape and the Ford
10 (inaudible) are not very well on sales.

11 And also in the pickup a different class in
12 this group of trucks, the sales are going almost to
13 zero. And some examples are the Chevrolet Silverado
14 and the GMC Sierra.

15 The only battery electric model that we have
16 in this class is the Toyota Rav4, and by 2014 they
17 reached almost 1 percent of the market.

18 So here are the prices. So in general we have
19 very few options on the cross utility small truck, and
20 most of the options are I think more expensive than
21 gasoline. So that might explain a little bit why
22 people goes to gasoline or ethanol fuels in this
23 class.

24 So to finish my presentation I just want to
25 mention or summarize that the California Energy

1 Commission staff calculated the sales-weighted average
2 price by using DMV data, so this is data specific for
3 California.

4 And the data that we have available, like I
5 say, is only five years as of today, but we're going
6 to increase historical data in the next years.

7 And we are using 15 vehicle classes for light
8 duty vehicles and 8 different fuels and technologies
9 for light duty vehicles.

10 And in general the sales-weighted average
11 price is letting us do a deeper analysis of how the
12 market is changing between fuels, preferences, and
13 also between size preferences and the cars and in the
14 light trucks markets. And they are based on
15 transaction prices in California.

16 So we would like to hear any comment,
17 feedback, question, or recommendation that you have in
18 order to improve or complete this analysis. Is there
19 any questions?

20 MALE VOICE: There is one question online
21 that's more of a general question, again from Sam
22 Pournazeri.

23 Where can we find technical documentation
24 associated with the models, vehicle attribute model,
25 consumer choice model, etcetera?

1 MS. BORGES: Where can we find technical?

2 Okay, I'm going to let Aniss answer this question.

3 MS. BAHREINIAN: I can certainly send it to
4 you, Sam, but we are thinking about creating a website
5 and posting these online. They are not yet there.

6 MS. BORGES: Okay, no more questions? Okay.
7 Thank you.

8 MS. STRECKER: Next up we have Jim Lyons with
9 Sierra Research to talk about our light duty vehicle
10 attribute forecasts.

11 MR. LYONS: Thank you, Gene. I'm going to
12 point out at the beginning here that I'm pinch hitting
13 today for Tom Carlson, who is our technical lead on
14 this project. He's on vacation and I'm the project
15 manager and I believe I'll be able to answer any
16 questions you have, but I just wanted to let you know
17 that up front.

18 This slide presents a brief overview or
19 outline of my presentation. I'll give some background
20 information and the key objectives of the work, talk
21 about the data sources, methods, and assumptions that
22 we've used, and then spend some time presenting and
23 discussing the attribute forecasts that we've
24 developed.

25 By way of background, as Aniss has pointed

1 out, the vehicle attributes that we're preparing are
2 used as input data for the Commission's consumer
3 choice modeling to forecast the characteristics of the
4 California vehicle fleet.

5 I guess one thing that's not conveyed there
6 or maybe didn't come through in the earlier
7 presentations is there's two parts of the attributes.
8 There are the attributes for the existing vehicles
9 where we've developed a detailed database that
10 characterizes what's been put into the market. And
11 then we use that as a point of departure along with
12 methodologies and data to forecast what we believe
13 those characteristics will be for the vehicles going
14 forward into the future.

15 Attributes, again, are characteristics of the
16 vehicles, which include vehicle price, as I indicated
17 before, MSRP, fuel economy, the number of models
18 available, as well as other characteristics such as
19 vehicle performance and vehicle utility metrics.

20 We're forecasting light duty attributes for
21 15 light duty size and vehicle type categories which
22 are used by CEC, and then 10 conventional and emerging
23 alternative fuels; gasoline, diesel, compressed
24 natural gas in the light duty vehicle market; ethanol,
25 electricity, as well as conventional hybrids, plug-in

1 hybrids, electric and fuel cell vehicles.

2 Again, the key objectives, as I just pointed
3 out, were extending historical database, which has now
4 been updated through the 2013 model year. And then
5 we're forecasting model attributes for model years
6 2014 to 2026.

7 We've looked at three fuel economic and
8 demographic scenarios which have been defined by CEC,
9 the reference case. Low demand and high demand. I've
10 labeled them as PEV here as they're evolving over
11 time. However, the low demand case is, again as Aniss
12 pointed out, characterized by high fuel prices, and
13 the high demand case by low fuel prices.

14 And a key assumption for all of our work is
15 that we need to have vehicle attributes that reflect
16 compliance or will allow CEC to demonstrate that their
17 forecasts will reflect compliance with adopted federal
18 standards and regulations such as CAFE, the EPA
19 greenhouse gas rules, the renewable fuel standard, as
20 well as California state regulations, which include
21 the zero emission vehicle and advanced green car
22 standards as well as the low carbon fuel standard.

23 While there are a multitude of vehicle
24 attributes that exist, our work is focused on five
25 priority attributes. These are the numbers of makes

1 and models that are available, vehicle prices and
2 MSRP.

3 Vehicle fuel economy which is adjusted on-
4 road. We use a 0.8 factor to discount CAFE numbers,
5 which is based on work performed by the National
6 Academy of Sciences, or NAS.

7 Driving range in miles, and then maintenance
8 costs. The maintenance costs, I'm going to talk a
9 little bit about. Those are five-year annual averages
10 from the new vehicles. They exclude things that are
11 covered under warranty that include things like tire
12 replacements and brake wear, which are not generally
13 covered by warranty.

14 And then the primary data sources that we've
15 used in our work are with respect to price and fuel
16 economy, the 2013 National Academy of Sciences study,
17 "Transitions to Alternative Vehicles and Fuels." And
18 within that there's something called the LAVE-Trans
19 model, which is a model that was developed by David
20 Greene to assess the impact of changes in vehicle
21 attributes on market acceptance. It's not the consumer
22 choice model that's used by CEC, but we've been using
23 that as a surrogate for consumer choice model to make
24 sure that our attribute forecasts for plug-in hybrids,
25 electric vehicles and fuel cell vehicles look like

1 they will generate the appropriate market response
2 that would allow for the compliance with the
3 California state regulations as well as CAFE.

4 We're looking at ZEV sales targets from the
5 Air Resources Board.

6 We're getting our driving range data from the
7 Energy Information Administration using their Annual
8 Energy Outlooks.

9 And then we're getting existing makes and
10 models from existing data as well as maintenance costs
11 and then using those for our future year forecasts.

12 So looking at how we're forecasting
13 attributes to change in the future, we're using NAS
14 technology penetrations for power train improvements.
15 There's a lot going on in the development of new more
16 efficient engine technologies, direct injection,
17 better transmissions, as well as the introduction of
18 advanced technologies.

19 There's also load reduction that's being
20 forecast in the future which we're accounting for, and
21 improvements from reducing the weight of vehicles,
22 improving aerodynamics, lowering drag and the rolling
23 resistance of tires, as well as changes to use more
24 electric alternators and generators, which also result
25 in vehicle efficiency improvements.

1 The points under the second bullet highlight
2 some of the key NAS assumptions.

3 There is no further efficiency improvements
4 assumed in the NAS studies for diesel engines given
5 that those engines are designed for high efficiency in
6 the future, so the assume improvements forecasts are
7 associated with gasoline engines where performance
8 rather than fuel economy has been more of a driving
9 factor in the past.

10 For electric vehicles and plug-in hybrids,
11 lithium-ion batteries are forecast to be the long-term
12 technology. NAS assumes that weight reductions on the
13 order of 15 to 20 percent are possible over the period
14 from the 2010 to the 2030 model year, and we're
15 accounting for those.

16 And then we're also using their assumption
17 that there will be a trade-off between vehicle
18 performance and utility and downsizing that is
19 necessary for manufacturers to comply with the more
20 stringent greenhouse gas and fuel economy standards
21 that are applying between now and 2025.

22 Again some more detail on the NAS work that
23 forms the kind of core of our work.

24 The technology costs reflect fully-learned
25 high- volume production as well as phase-in schedules.

1 There are separate estimates that have been
2 developed for internal combustion engine vehicles, or
3 ICEs, hybrids, plug-in hybrids, and battery electric
4 vehicles. The scaling factors for the vehicles that
5 make greater use of batteries and bigger electric
6 motors are shown there.

7 And then within the NAS study, fuel cell
8 vehicle and compressed natural gas vehicle costs are
9 constrained by the assumptions there that there's
10 going to be infrastructure issues. That's on a
11 national basis, not on a California basis where
12 obviously there is much more work being done on
13 hydrogen refueling infrastructure. For example, for
14 fuel cell vehicles. And so we've had to work around
15 those assumptions in doing our work.

16 As I mentioned, we're using the LAVE-Trans
17 model to look at these different technologies and
18 generate fuel economy and vehicle price forecasts.

19 We're using their estimates for fuel economy
20 improvements in vehicle prices for gasoline internal
21 combustion engines, hybrid electric vehicles, and CNG
22 technologies.

23 And we're doing the same for diesels in terms
24 of load reduction improvements and also for using
25 gasoline data to forecast fuel economy improvements

1 and MSRP that are not related to improvements in
2 engine technology.

3 For CEC we've created a diesel hybrid
4 forecast which isn't in the NAS study, using the
5 improvements from gasoline hybrids to characterize
6 what hybrid diesel vehicles could look like.

7 And then we're using future battery costs
8 that have been scaled from the NAS midrange estimates,
9 which indicate a substantial reduction over time in
10 battery costs for the different types of vehicles
11 which use batteries.

12 Turning to model availability, for gasoline
13 vehicles and conventional or hybrid electric vehicles
14 we've scaled our model availability using results from
15 LAVE-Trans.

16 For diesel vehicles we've done something
17 different. We've grown them through the 2018 model
18 year that's a forecast that's based on projections
19 from Bosch which were presented to the Energy
20 Commission back in 2013 and which we've been asked to
21 consider.

22 For plug-in hybrids, electric vehicles and
23 fuel cells, we've grown those model from the 2013
24 baseline to reflect the increase in sales of those
25 vehicles that's mandated by the ZEV regulation.

1 Obviously to increase sales relative to 2013 in those
2 vehicle technologies there's going to need to be a
3 greater offering of makes and models, and we have
4 accounted for that in our work.

5 And we've accounted for the availability of
6 these technologies in the car and truck fleets using
7 forecasts or other information that we've obtained
8 from CARB.

9 We've also accounted for changes in vehicle
10 price that are driven by changes in fuel price. When
11 fuel prices go up, then you expect the prices of more
12 fuel efficient vehicles to go up in turn because of
13 the greater demand for those vehicles. We've relied on
14 a 2013 study from Busse that provides a methodology
15 for accounting for that, which we've incorporated into
16 our work.

17 As Aniss pointed out, our preliminary
18 forecasts for ZEV vehicles led to projected sales that
19 were substantially below compliance. In the current
20 work which I'm presenting today we've adjusted vehicle
21 prices and used the LAVE-Trans model to refine those
22 price adjustments in order to get prices that we think
23 will allow CEC to generate sufficient populations to
24 demonstrate compliance.

25 It sounds like CEC has got some other

1 revisions planned that will also affect his, and we'll
2 be working with them going forward in order to
3 finalize both our attributes as well as their work.

4 So using all of the work that's gone into
5 what I've previously summarized, we've forecasted
6 vehicle prices and makes and models for the three
7 different demand scenarios that CEC has provided to
8 us, and we've projected fuel economy, driving range,
9 and maintenance costs by the different fuel and
10 vehicle technology groups and vehicle class groups.

11 We've, however, assumed that the
12 characteristics of the vehicles themselves don't
13 change as a function of demand scenario. Again, there
14 might be changes in vehicle prices, but these other
15 kind of more integral costs of the vehicles are
16 assumed to stay the same but independent of the demand
17 scenarios.

18 I'm going to walk through some of our results
19 here.

20 First is fuel economy, this is for the
21 compact car class, and you can see for the different
22 fuel technologies what our forecasts are for fuel
23 economy. This is generally driven by the need for
24 vehicles to comply with the CAFE and greenhouse gas
25 regulations.

1 This is an analogous slide for the midsize
2 cross utility vehicle, which is in one of the truck
3 classes. And again, the changes over time are driven
4 by the need to comply with CAFE and greenhouse gas
5 standards.

6 These are our forecasted vehicle prices. This
7 slide is for the compact cars. And the most notable
8 feature here are the two kind of V-shaped curves where
9 you see a significant decline in price for electric
10 and plug-in hybrid vehicles. It's anchored in 2013 by
11 the actual data that we have, and then these reflect
12 the adjustments that we've made using the LAVE-Trans
13 model in order to get price forecasts that we believe
14 will allow the demand model to show sufficient vehicle
15 sales in order to comply with the regulations.

16 This slide shows the magnitude of the
17 adjustments that we made for the electric vehicles and
18 the plug-in vehicles in the compact car case. As you
19 can see, they're fairly significant changes relative
20 to what the NAS forecasts are.

21 This is the price slide for the cross utility
22 vehicle in the truck category. Again the same behavior
23 is seen for the electric vehicle and plug-in hybrid
24 vehicles within this category.

25 This slide is very busy and I apologize for

1 it. The top part of it shows the CARB ZEV compliance
2 targets in terms of sales percentages in the different
3 vehicle categories; plug-in hybrids, electric
4 vehicles, and fuel cells, as well as the sum.

5 The second part of it shows what we got out
6 of the LAVE-Trans model using the price adjustments
7 that I discussed previously.

8 And then the bottom two rows shows how what
9 we got out of LAVE-Trans compares to what the CARB
10 forecasts were. The red slides show that we have a
11 little bit of undercompliance [sic] the first couple
12 of years, and then overcompliance [sic] thereafter.
13 Given the way that credits can be traded within the
14 ZEV program, those near-term shortfalls are made up by
15 credits from later model years, and this is kind of
16 the validation that we did to confirm that the price
17 forecasts that we gave CEC should be reliable for
18 generating ZEV compliance out of their consumer choice
19 model.

20 Another busy slide, but this just shows the
21 sensitivity of vehicle prices in the compact and --
22 the impacts of fuel prices in the -- a couple of the
23 categories here you can see the price of an electric
24 vehicle goes up for the higher fuel price cases you'd
25 expect, and the price of the pickup goes down because

1 people are going to not be as interested in buying a
2 less efficient vehicle. And the converse occurs with
3 low fuel prices.

4 The other thing that this slide shows is that
5 the methodology that we used doesn't indicate that
6 there would be large changes in average vehicle prices
7 as a result of the changes in fuel prices.

8 These are the forecasts we've used for
9 driving range. Again, these are taken from EIA. You'll
10 note the flat line on the bottom for electric
11 vehicles. That's because EIA either assumes 100 or 200
12 mile electric vehicle range. Addressing that issue is
13 one of the things we'll be working with CEC staff
14 going forward. Otherwise, you see that range is
15 increasing as you would expect from the improved fuel
16 efficiency of the vehicles that's been forecast.

17 The other thing I'd note about this is EIA is
18 not assuming any downsizing of vehicle tanks, which
19 would further reduce the weight of vehicles and lead
20 to additional efficiency improvements. We're going
21 back through and working to check on that assumption
22 and may revise these estimates accordingly for our
23 final attributes.

24 This is the same slide just for the midsize
25 cross utility vehicle instead of the compact car. It

1 shows you how our attribute forecasts for range are
2 changing. Again, the same caveat applies for the
3 electric vehicle range forecast.

4 These are our maintenance costs. I believe
5 there's going to be an additional presentation that
6 delves further into the maintenance costs so I'm not
7 going to go through them in detail here. They are
8 derived from existing vehicle data and are assumed for
9 most technologies to remain constant over time.

10 You'll see again for the fuel cell vehicles
11 and electric vehicles a large decrease. That's because
12 on the far left they're tied to the limited data that
13 actually exists, and then we're making adjustments for
14 the future to account for the characteristics of those
15 vehicles where they don't need oil changes, for
16 example, and things like that.

17 And again, we're going to work with CEC staff
18 to further refine the initial year estimates to make
19 sure that we don't have any problems from
20 discontinuities in the data and assumptions that are
21 used.

22 The final point that I'll touch on are the
23 forecasted makes and models. This shows all of the
24 model forecasts across the different vehicle classes.
25 The top line is gasoline vehicles which obviously

1 dominate the current fleet and are expected to
2 continue to dominate in terms of makes and models
3 going forward.

4 You can see at the bottom that there is
5 growth in the other vehicle categories. That's
6 expanded here where we've gotten rid of the gasoline
7 vehicles and the top line is now the flexible fuel
8 vehicles. And you can see that, for example, the
9 number of plug-in hybrid models as well as electric
10 and fuel cell vehicles are expected to increase fairly
11 dramatically over time in our forecasts.

12 To close here, again, all of the forecasts
13 that we've evaluated are based on a ZEV compliance
14 assumption. We'll be continuing to work with the
15 Energy Commission going forward in light of the
16 comments and input that we get today as well as the
17 issues that we've identified leading up to the
18 workshop. And then we'll be delivering our final
19 attribute forecasts as well as a report of how they
20 were developed in the next month to CEC as part of the
21 2015 IEPR process.

22 This is just our contact information. I'll
23 take any questions now. If you have questions
24 afterward, feel free to contact either us or CEC
25 staff.

1 MALE VOICE: We do have one online question,
2 again from Erik Seilo. Please expand on why PEV and
3 PHEV prices increase on Slide 14.

4 MR. LYONS: Okay. As I mentioned during the
5 presentation, I'm going to use Slide 15 to address
6 this question rather than Slide 14. Again, this just
7 pulls out the PHEV and EV data.

8 The solid lines show the adjustments that we
9 had to make in order to get the LAVE-Trans model to
10 predict enough technology adoption to be relatively
11 confident that the CEC's vehicle demand models would
12 show ZEV compliance. We need less in future years of
13 an adjustment, and so our price forecasts trend back
14 up toward the NAS forecast but they never get back to
15 the NAS forecasts.

16 The dotted lines which show the NAS forecasts
17 present what I think the commenter is looking for,
18 which is a decrease in the forecast price technologies
19 over time. So we did start with that, but because of
20 the nature of the price adjustments we had to make in
21 order to demonstrate ZEV compliance, especially in the
22 early years, we've got this kind of discontinuity, if
23 you will.

24 Okay, well, Thank you very much, then.

25 MS. STRECKER: Thank you, Jim.

1 Next we'll have John Michel from the Energy
2 Commission talk about a methodology he prepared to
3 determine or forecast maintenance costs for light duty
4 vehicles.

5 MR. MICHEL: Hello. I am John Michel, and I'm
6 just going to walk through the process that I used to
7 update our maintenance cost attributes for this
8 forecast.

9 Like Jim said, they did one and we're in the
10 process of bringing our attribute forecast in-house
11 for a future IEPR and this is just a step in that
12 direction.

13 I did use historical data that Sierra
14 provided for us from a previous transportation energy
15 demand forecast. And we'll start by looking at what's
16 out there.

17 For the previous two forecasts maintenance
18 data has come from two sources; *Edmunds True Cost to*
19 *Own* and AAA's *Your Driving Costs* brochure.

20 In the *True Cost to Own*, you take a make,
21 model, and a year and they give you costs for each of
22 the first five years of ownership in multiple
23 categories; depreciation, taxes and fees, financing,
24 maintenance, repairs, and a few other ones. We are
25 only using the maintenance costs from this data.

1 And we like this data because it's model
2 specific but it only goes back to model year 2008 or
3 so, so we need another source to go back further.

4 And also as we'll see later, Edmunds does not
5 have comprehensive data for alternative fuel vehicles
6 so we had to make some assumptions there to fill in on
7 our dataset.

8 AAA has been publishing its *Your Driving*
9 *Costs* brochure since 1950, so it was used by both of
10 our previous contractors to guide the historical
11 trends that they used in their forecasts. And AAA
12 gives, what they give is the average, class average
13 costs for gasoline vehicles only in the following
14 classes: small sedan, medium sedan, large sedan, SUV,
15 and minivan. So they're slightly different than the
16 classes we use but they're pretty easy to fill out and
17 in.

18 And AAA, Edmunds, and us at the Energy
19 Commission, we all use the same basic definition for
20 maintenance costs. It's the cost per mile of a vehicle
21 driven 75,000 miles over its first five years. And
22 that includes factory recommended scheduled
23 maintenance, like oil changes, tire rotations,
24 inspections, that sort of thing. And unscheduled
25 maintenance like wheel alignment, replacing the

1 battery or brakes or bulbs or anything that wears out.

2 We also include tires, and Edmunds puts that
3 in unscheduled maintenance. AAA has it separately but
4 they do provide it in all their brochures so that's
5 easy to add in.

6 And AAA also includes the price of an
7 extended warranty, which Edmunds puts in repairs, but
8 that does not affect the results too much.

9 One other thing is that since the Edmunds
10 data is model specific, it takes into account factory
11 covered maintenance schedules.

12 Like BMW, for instance, you don't pay any
13 maintenance costs for the first three, or now it's
14 four years that you own the car. And Honda and Chevy
15 have similar deals, and that's accounted for in our
16 data and you can see it in the sales-weighted averages
17 and it can significantly reduce the costs, as you
18 might imagine.

19 Now that we know kind of what's been done,
20 what's in the costs, we can set a goal for gathering
21 new data for this forecast, and I made that goal to
22 get updated maintenance cost data for every class and
23 every fuel type that we use for model years 2011 to
24 2014.

25 And that covers classes that don't even have

1 models currently in them, because our forecasting
2 model requires that any class with available makes and
3 models in a given model year needs to have an
4 attribute value for that year. So by fully populating
5 all the fuels and classes, we make the cost per mile
6 independent of the makes and models available, and
7 when that makes and models file changes, it becomes
8 very easy to adjust our maintenance cost input to
9 reflect those changes instead of having to recalculate
10 everything.

11 When it came time to gather the data, we
12 looked at the top five models per class according to
13 Eva Borges's sales numbers, and got the maintenance
14 cost information for as many of them as we could.

15 Some of the models were not in the database.
16 For instance, in the electric car the Leaf is the only
17 one that's in that database. The Rav4, Tesla's cars,
18 smart cars, they're not in there.

19 And many of the alternative fuel vehicles
20 like hydrogen are lease only and the maintenance is
21 included in the lease price so we don't have separate
22 data for that.

23 And also some classes don't have file models
24 with sales data, so we used the best we could for the
25 sales-weighted average.

1 Some fuel types we had no data for at all,
2 and we'll deal with those later. We had to make some
3 assumptions to fill those in.

4 In the next slide we'll see how those data
5 points are distributed, and after that we'll look at
6 the data in the popular gas and hybrid classes and see
7 what we see.

8 This table shows the number of models in each
9 class for which I was able to get Edmunds data for
10 model year 2014. And 2011, 12, and 13, they look
11 pretty similar. Ideally, this would be populated all
12 with 5's, but that is not the case.

13 Gasoline is the only fuel type that had data
14 for every one of our classes, which makes sense given
15 the makeup of the current vehicle population. And
16 because of this complete data, gasoline maintenance
17 costs will factor heavily in our trends analysis.

18 There's decent data for hybrids and ethanol
19 and diesels. Plug-in hybrids and electrics, not as
20 much. And for driver's license hybrids, natural gas,
21 dual fuels, and hydrogen, there was no data available
22 for any class. And that's what we have, and we can now
23 look at what we see in the data.

24 These are the sales-weighted average cost per
25 mile for the top selling gasoline vehicle classes 2011

1 to 2014. It's the smaller cars, subcompact, compact,
2 midsize, and cross utility, cross utility small car,
3 cross utility small truck.

4 You can see they're all between about 4 and 7
5 cents per mile, which for reference is about \$600 to
6 \$1,050 per year using our 15000-mile-per-year
7 assumption. And you can see costs increasing gradually
8 over time.

9 Midsize and compact cars, quite similar
10 costs, those are the two bottom lines.

11 The subcompact is much higher than you might
12 expect. You would expect it to be similar or lower
13 than the midsize and compacts, and that's because the
14 subcompact is populated by BMW, Fiat, Lexus, instead
15 of Honda, Toyota and Nissan which make up the bulk of
16 the compact and midsize classes.

17 Also, one other thing to see is the
18 subcompact goes down from 2012 to 2013 and the compact
19 goes up similarly in 2012 to 2013, so I thought maybe
20 there would be some crossing over there but it's a
21 coincidence, that's just what happens in the data.

22 Now we can look at the hybrids.

23 The first thing that jumps out -- well,
24 sorry. First of all, I should mention that these are
25 the same classes as before except large car is

1 replacing the smaller cross utility.

2 Right off the bat you can see that the cross
3 utility small truck is much higher than any other
4 class represented here. That's because its main
5 contributors in this class are the Audi Q5 and the
6 Porsche Cayenne, brands that typically have higher
7 maintenance costs.

8 Again you can see that subcompacts is higher
9 here than midsize and compact, and that's because the
10 majority are Lexus. There used to be in 2011 you can
11 see it's lower, and that's because there was the Honda
12 Insight and the CRZ, but then those sales dropped off
13 and the Lexus sales picked up, and so the sales-
14 weighted average came up. And it's a trend. Subcompact
15 is more expensive than compact to maintain.

16 Overall here and hybrid costs are increasing,
17 and that's another trend we see throughout the
18 dataset. Thirty-five out of the forty-one classes
19 that we had data for show costs increasing, and the
20 average increase is about 4 percent per year over
21 those. There's three increases but over a four-year
22 period.

23 And I don't have information graphics for
24 them, but just to mention some other trends between
25 the fuel types. That is, costs for diesel and hybrid,

1 generally a little bit more than gasoline.

2 Flex fuel cars, also a little bit more than
3 gas but that's just not because of technology, it's
4 just because the makes that are offered similar to
5 what we see in this cross utility line here, the makes
6 that are offered are more expensive to maintain.

7 Plug-in hybrids, super close to hybrid from
8 model to model. The sales-weighted averages are a
9 little bit different. Plug-in hybrid ends up looking a
10 little cheaper because of the sales-weighting that we
11 do.

12 And finally electric is cheaper than gas to
13 maintain because you don't need any oil changes,
14 there's fewer moving parts, that kind of thing. It's
15 one of the selling points.

16 That's just the sort of things we were
17 looking for where we had data and we want to apply
18 those trends to areas with less data. And there's
19 three kinds of missing data cases. There's classes
20 that have some years with data and other years that
21 don't have any data. Fuels that have data in some
22 classes and not in other classes. And some fuels we
23 don't have any data for at all, and we'll handle each
24 one of those a little differently.

25 First off, one class that had some blank

1 years but not all is the sport utility compact in the
2 hybrid fuel type. So we look at the year-to-year
3 trends within the other hybrid classes that we have
4 data, scale them according to this data point that we
5 do have, and presto, we fill in the blanks.

6 To fill in the remaining classes that don't
7 have any data at all, we compare the average hybrid
8 maintenance cost to gasoline for the classes that we
9 do have data, and we scale the maintenance costs from
10 the corresponding gasoline class.

11 So for sport car we don't have any hybrid
12 data but we get a scale factor based on the data we do
13 have and apply that to the gasoline sports car and
14 that's what we use for all these blank classes. And
15 again, presto.

16 Now, any fuel type that had any data in it at
17 all we have fully populated using these methods. All
18 that is left is the fuels that don't have any data,
19 and we'll handle each of those separately as well.

20 So the four fuels that have no data are
21 diesel electric hybrid, natural gas, dual fuel, and
22 hydrogen. And we populate each one of these based on
23 just a blank assumption we made. There's further
24 details at the end of my slides because I didn't want
25 to clutter it up too much here, but I'll explain them

1 right now as we go.

2 Diesel electric hybrids, we make those by
3 adding electric drive systems to conventional diesels
4 just like with gas, so we assume that the maintenance
5 costs would scale from diesel the same way that hybrid
6 maintenance costs scale from gasoline.
7 Straightforward.

8 For natural gas, we were able to find
9 recommended maintenance schedules for two mass
10 produced models, the Ford Crown Victoria, which was in
11 the early 2000s, and the Honda Civic, which you could
12 still find a new one but they're not going to produce
13 any further model years. These models have gasoline
14 and natural gas models so you can make a direct
15 comparison there based on the maintenance schedules,
16 and they were close enough to call a wash.

17 Unscheduled costs and tire costs, those don't
18 really depend on fuel type, so therefore we assumed
19 that natural gas maintenance costs equals gasoline
20 maintenance costs.

21 Dual fuel, or bifuel, which are gasoline and
22 natural gas, they're made by adding natural gas
23 storage tanks and delivery systems to inject the
24 natural gas directly into the valve. There's very
25 little modification to the gas operation other than

1 interrupting the fuel injectors when you're using CNG.
2 And the added components don't require any special
3 maintenance that would add significant costs. And for
4 the models currently available, the tank, the valves,
5 the controller, they're all under warranty that more
6 than cover the five-year one that we're looking at. So
7 therefore, we can assume that dual fuel also equals
8 gasoline maintenance costs.

9 Hydrogen is kind of a similar case. It's a
10 dual fuel in that apart from the hydrogen system the
11 cars are basically electric cars. And hydrogen systems
12 are so complicated and expensive that any maintenance
13 is going to need to be done and probably paid for by
14 the manufacturers. So therefore, we assume that the
15 hydrogen maintenance costs are equal to the electric
16 maintenance costs.

17 And using these assumptions we have now
18 achieved our goal of having the maintenance costs for
19 every class and every fuel type for years 2011 to
20 2014.

21 The next thing is to merge it with the
22 previous historical data, project it into the future,
23 and wrap it into a format that our forecasting model
24 likes.

25 For the historical data we kept it pretty

1 much as is except for 2011 where if there was
2 overlapping data we just took the simple average of
3 both.

4 Projecting into the future, you saw that Jim
5 showed you most fuel types they projected flat. And we
6 did pretty much the same thing, because historical
7 trends, they go up and down pretty unpredictably. In
8 2011 they predicted that it would go down slightly
9 from year to year, and they've been increasing ever
10 since, so we had to use our best judgment there.

11 Remember that what's important here is the
12 relationship between different classes of the same
13 fuel and individual classes across fuel types. That's
14 what going to inform the decision making in the
15 consumer choice model.

16 So if we were comfortable with the costs that
17 we came up with in a class, we projected it flat. But
18 there are some classes like those outliers we saw
19 earlier which we had to decide if we could expect
20 those to change or stay the same.

21 Like for the hybrid cross utility trucks. Are
22 non-luxury models going to be introduced in the hybrid
23 that bring the average cost down toward where you
24 might expect? Probably, it's a pretty fast growing
25 class in gasoline and so we can expect that those

1 models will be introduced intro hybrid as well, so we
2 can project costs for that class to decrease in the
3 future.

4 Will the subcompact costs come down near
5 midsize and compact where we might expect them? Maybe,
6 maybe not. Right now they're looking more like a
7 specialty car than a kind of common everyday car, so
8 we projected those to stay flat and stay high relative
9 to the larger cars.

10 And we went through every class and made sure
11 we were comfortable to obtain the final maintenance
12 cost forecasts. Mostly we did keep them flat, we just
13 made a couple adjustments for outliers, and we ended
14 up with something that we're quite comfortable feeding
15 into our personal vehicle choice model.

16 And that is all I have to say about that,
17 unless there's questions. Does anyone have any
18 questions?

19 Okay. As I mentioned, the details of the
20 blank fuel assumptions are at the end here. I went
21 through them so I'm not going to go any further, but
22 that's it.

23 And now I would like to introduce lunch.

24 MS. STRECKER: Thank you, John.

25 Before we break, it is a good time to take a

1 lunch break considering it's five after 12:00. Does
2 anybody have any questions or comments before we stop
3 for the morning?

4 Okay. Then we will resume at 1:00 p.m. A
5 quick lunch for most of us today. Thank you.

6 (Adjourned for Lunch at 12:05 p.m.)

7 --o0o--

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 MS. STRECKER: Welcome back. We're going to
3 get started again. This afternoon we just have a
4 couple more presentations to go. Thank you for joining
5 us, and we appreciate any feedback you can give us.

6 First up this afternoon is Bob McBride, and
7 he's going to be talking about the work that he's done
8 on medium and heavy duty vehicle attributes.

9 MR. MCBRIDE: Good afternoon. I'm Bob
10 McBride, I'm the one-man show for medium and heavy
11 duty vehicle analysis. Good afternoon to folks who
12 could attend and to fellow staff, all those interested
13 in the future market for efficient or alternative fuel
14 medium and heavy trucks in California.

15 We're presenting our current numbers but we
16 encourage anybody with the knowledge to point out
17 where other values would be better.

18 First, I'll briefly describe why we gather
19 this data. Next, I'll mention the six truck classes
20 and six fuel types we described at our workshop in
21 March, a couple of minor changes to them.

22 Most of our high demand, reference, and low
23 demand case truck prices and fuel economy values are
24 unique. In other words, we're not using the same ones
25 for two cases. For a couple of classes we do use a set

1 of values across two cases, as we'll see.

2 The fuel price and economy scenarios are the
3 same as other forecasts produced concurrently in the
4 Energy Assessments Division, which we're a part of,
5 our office is part of.

6 At the end of the slides I've listed the key
7 data sources I've used. Before that we'll see some
8 graphs that display truck prices and fuel economy for
9 four out of the six truck classes.

10 So first off, why truck attributes?

11 The quantities of energy consumed by trucks
12 depend on their fuel type. Their fuel economy, the
13 infrastructure barriers and the distance the trucks
14 travel.

15 Fleet managers are the decision makers here.
16 Weight, truck price, fuel economy, fuel price.

17 For past forecasts we borrowed the future mix
18 of truck fuel types from other sources. In this
19 forecast we'll be using the Argonne National Lab's
20 truck model to simulate the market for fuel types. The
21 2015 IEPR will mark our first independently modeled
22 forecast of these trucks.

23 So here are the six truck classes. Our
24 motorhome class is not listed here but it's comprised
25 mostly of private, not commercial, vehicles. That's

1 the truck model that can't be used, so we don't need
2 attributes.

3 Also, I've combined the Class 8 single unit
4 trucks with Class 7 single unit and combinations,
5 leaving the six truck classes here that require the
6 attributes.

7 Beyond the six fuel types we identify
8 separate prices in fuel economy for LNG and CNG
9 trucks. Not that we separated CNG and LNG for the
10 Argonne truck model, but in the revised forecast the
11 fuel totals will be considered together as natural
12 gas.

13 LNG trucks may use either spark-ignited or
14 the new and more efficient compression ignited
15 engines. CNG trucks in theory could use both those
16 engines as well.

17 Also, where we see competitive propane truck
18 prices in fuel economy for particular classes, we'll
19 include that fuel type since it was included in
20 earlier workshops.

21 Since preparing this presentation last week
22 I've received some good information from industry
23 sources, and that's why I'm putting the LPG back in.

24 We used the three common cases; low,
25 reference, and high demand. Vehicle prices, fuel

1 economy and fuel price projections are applied so that
2 the low and high demand cases at least are a practical
3 limit for our expectations. We may use the reference
4 fuel economy in the high demand cases. I'll explain
5 later as we look at the next slide.

6 So for our low demand case we used the
7 highest fuel economy, miles per gallon, and in the
8 high demand case we'll use the lowest.

9 The proposed EPA/NHTSA Phase 2 fuel
10 efficiency and GHG rule is consistent with high fuel
11 economy since it includes fuel saving from both
12 drivetrain and vehicle technologies.

13 Since currents are currently being sought for
14 the Phase 2 rulemaking, we'll not be using that in
15 other classes. Phase 2 rules are proposed to take
16 effect or have their first effect in 2021, or at least
17 they have their first milepost of standards there.

18 For the reference and high demand cases we'll
19 base fuel economy on the Phase 1 fuel economy rule,
20 which conveniently was what the ARB's EMFAC model 2014
21 version now includes, and that's consistent with a low
22 fuel economy, or average.

23 The current Phase 1 standard includes fuel
24 saving mostly resulting from anticipated improved
25 vehicle technologies, not the drivetrains so much.

1 For a third case we may use the 2012 forecast
2 by the National Petroleum Council. They use the
3 Argonne Truck 5 model. If that fuel economy meets or
4 exceeds the Phase 1 fuel economy.

5 Fuel economy projected. We may retain the NPC
6 estimated truck prices for natural gas trucks in the
7 high demand scenario in any case. If the fuel economy
8 projected in NPC, reference, or high demand case
9 exceeds the Phase 1 fuel economy, we'll use that.

10 So the payback period, or how long it takes
11 to recover the cost of the technologies beyond the
12 lowest price, is important to the fleet managers who
13 are responsible for selecting and arranging the
14 purchase of the new trucks.

15 Again, the truck price and fuel economy are
16 big factors in determining the payback period. The
17 Argonne truck model market penetration output
18 simulates the fleet manager's choices.

19 So now we get to look at some actual
20 vehicles. The Class 3 is the first of four truck
21 classes we'll look at. Some not shown here are utility
22 or box trucks, but the heaviest of pickups with four
23 wheels and a rear axle are here. Also the new medium
24 sized vans run a couple feet higher, somewhat wider
25 than a Class 2, like an Econoline.

1 This Mercedes Benz in the picture has a four
2 cylinder 2.1 liter turbo engine and averages around 20
3 miles a gallon, and some of these are fitted with
4 suspension that puts them in Class 3, so they are
5 right at the border.

6 So first look at the black lines here, the
7 price of diesel fuel Class 3 trucks. The prices for
8 the conventional fuels are relatively well understood
9 since the fuels are common and the prices are
10 published. The high demand case truck price is the
11 lowest price, and the low fuel demand case is the
12 highest vehicle price.

13 Now look up to the blue lines, the CNG
14 version of the trucks. NPC forecast in the high case,
15 the dashed line, does not decrease with time nearly as
16 much with this counterintuitive outcome. For the
17 alternative fuels considered in the NPD forecast the
18 incremental price of the alternative fuel can be
19 higher than its equivalent Phase 1 truck represented
20 here as the reference case.

21 Still, the conventional fueled truck in the
22 NPC's high demand scenario is the cheapest. This is
23 the basis for assigning NPC as high demand case for
24 this presentation. As expected, the gasoline version
25 is the cheapest for all demand cases.

1 Now turn to the green lines representing a
2 Class 3 truck with a pure ethanol engine. In work
3 funded by the Energy Commission comments developed the
4 ethos, a very low carbon emission engine using E85
5 only. The cost is pegged \$1,000 or \$2,000 higher than
6 the gasoline version. But the big surprise is the kink
7 in 2021 due to the Phase 2 rules.

8 We'll be checking prices for the Class 3 and
9 the Class 4 to 6 against the sales-weighted averages
10 generated by Eva Borges from the DMV data BAC most of
11 these are under \$96,000.

12 So fuel economy for the ethanol is about
13 equal to the gasoline Class 3 on a gallon-for-gallon
14 basis.

15 On an energy equivalent basis, BTU-for-BTU,
16 the E85 engine uses about 28 percent less energy to do
17 the same work.

18 The high demand case fuel economy, the dashed
19 lines, are actually stated in their native units, not
20 gasoline gallon equivalent.

21 In greenhouse gas the high demand case fuel
22 economy aligns with the reference case.

23 The Argonne truck model states fuel and
24 gasoline gallon equivalent units but most medium and
25 heavy truck fuel is diesel, normally stated in diesel

1 gallon equivalents, so we have to watch this
2 carefully.

3 Where Phase 1 is the higher fuel economy
4 we'll be using the Phase 1 truck price and fuel
5 economy for both reference and high demand cases. That
6 will be a judgment call.

7 So in Classes 4 to 6 these are a bit bigger.
8 Some are step vans, others are box trucks or flatbeds,
9 small tank trucks, big utility trucks, and some other
10 outfitted for special purposes. And the one on the
11 right is a hybrid that's being owned by Toyota.

12 For visibility we've split the 4 to 6 Class
13 graphs into two, so here's the prices, and I'll flip
14 back and forth for you. Note that the vertical Y axis
15 has different scaling here.

16 Average prices are upwards of \$50,000 for all
17 the fields. I see truck chassis around \$30,000 in
18 truck blue book, however, but the box or other
19 equipment can be pricy even before the cost of the
20 alternative fuel drive and the tanks. Still, the price
21 for all given fuel types appear rather tightly packed
22 so within each fuel there's much red between the high
23 and the reference and the low. The bigger difference
24 is the incremental price between the fuel types.

25 So then we move on to the fuel economy for

1 these Class 4 to 6 trucks. Again, I'm splitting the
2 two into two graphs, these fuel economies. The values
3 are all scaled to gasoline gallon equivalents here.

4 For most of the Class 4 to 6 fuel economies
5 the reference and high values are the same. These all
6 behave intuitively with the low demand case diverging
7 from the reference case fuel economy after 2019 when
8 Phase 2 begins to kick in, anticipating the 2021
9 requirements. So, yeah.

10 High demand case fuel economy is distinct for
11 the electric truck, as we used the LCFS energy
12 efficiency ratio instead of the method calculated
13 elsewhere to determine the fuel economy relative to
14 the gasoline truck, just for electric trucks there.

15 So here's the four types we have for trucks
16 over 26,000 pounds. The tank is a single unit. Upper
17 right, that's the day cab. Lower left is the sleeper
18 cab. And lower right a Class A garbage or recycling
19 truck. We have four classes of these for modeling.
20 We're only going to look at the sleeper cabs and the
21 refuse trucks now.

22 So prices. This graphs a bit simpler.

23 Diesel trucks show three distinct price
24 cases, although you see the reference and high demand
25 case truck prices converging.

1 I'm sorry. You see the natural gas and diesel
2 converging toward 2026 for this low demand case.

3 The compression-ignited Cummins Westport
4 engine that are usually paired with the LNG tanks,
5 that's shown in blue. It can be introduced quickly
6 once the price of diesel goes up, but right now it's
7 on the shelf. They've pulled it from certification,
8 mostly because of the low diesel prices.

9 So on the fuel economy, the natural gas
10 tracks diesel again. Fuel penalty for the natural gas
11 relative to diesel here is much smaller because of the
12 compression ignition engine. It's only 4 percent as
13 opposed to 15 percent for the spark ignited engines,
14 so this is a big thing for natural gas.

15 For Phase 2 in the low demand case the
16 potential for even higher fuel economy follows from
17 the vehicle technologies that reduce wind and rolling
18 resistance. These improvements come with slightly
19 longer payback periods but are all still within two or
20 three years, according to the EPA and NHTSA.

21 I put the refuse recycling class truck 8 in
22 its own class because the operation is so strikingly
23 different from other trucks and because the South
24 Coast has a special emissions rule for these. We do
25 see some cheaper models in the truck blue book but

1 we're using an average.

2 The natural gas truck shows similar
3 deflection year by year as the diesel truck price,
4 with the incremental price for the natural gas one
5 decreasing over time to a little bit different degree.

6 These garbage trucks move from one house or
7 apartment group to the next, making many starts and
8 stops. At each stop most operate some equipment that
9 draws power from the drivetrain. For this class we're
10 assuming spark-ignited natural gas engine, although
11 they're also being -- I don't know where that's headed
12 with the engine but they can be outfitted with either
13 CNG or LNG.

14 Three miles per gallon for diesel in 2026 is
15 a dramatic improvement over now. Possibly hybrid
16 diesels outfitted with super capacitors instead of
17 batteries might make sense but these are too early in
18 their development to assign a price, or fuel economy,
19 or what year they'd be introduced.

20 The weight of conventional batteries for a
21 hybrid version would mean less waste could be hauled
22 per truck to stay under the weight limit. More trucks
23 would be required to haul the same waste, so we did
24 not include a battery hybrid here for this reason. We
25 do include hybrid in some other classes including the

1 Class 7 and 8 straight trucks.

2 Oh, I see. I'm going to conclude first, and
3 this Slide 8 is doing double duty. Here we go.

4 Fleets are looking for a one- to three-year
5 payback for sure, and we're calling it two, and that's
6 our rule of thumb. The truck price and the cost of
7 fuel are the biggest influences on the payback.

8 Dozens of technologies to increase fuel
9 economy and potentially even more alternative fuel
10 types will be available in the coming years, and we're
11 going to use the Argonne National Lab's Truck 5 model
12 with our freight energy demand model for the IEPR 2015
13 forecasting.

14 So here are the key sources we used to put
15 these attributes together.

16 I've worked alongside Matt Malchow at Sierra
17 Research, who provided much of the low demand case
18 numbers. We both contributed to the reference case,
19 and I prepared most of the high demand case.

20 The EPA/NHTSA Phase 2 documentation and
21 EMFAC2014 provided the backbone for the low demand and
22 reference cases.

23 Eva Borges has helped make sense out of some
24 confusion using queries to the DMV data to sort out
25 the fuel types, which are not always as they appear.

1 The two truck websites have been used ad hoc,
2 not as they always appear. For instance, we had some
3 trucks identified as electric. Turns out those were
4 those Toyota hybrids, and until we found out what they
5 we couldn't even look them up. The two truck websites
6 have been used ad hoc, TruckertoTrucker and
7 TruckBlueBook.

8 The natural gas paper and some others coming
9 out of the Next Steps Program have been used for the
10 natural gas and hybrid truck prices and fuel economy.

11 We'll be considering the truck price and fuel
12 economy data presented by NREL in a few moments, as
13 well.

14 I want to emphasize that we'd like to hear
15 details of your experience and knowledge of
16 alternative fuel and highly efficient trucks,
17 especially their prices and fuel economy. We'll
18 incorporate as much as possible in our forecast
19 subject to the time we have.

20 And that's it. Are there any questions? None
21 online. Okay. Thank you.

22 MS. STRECKER: Thank you, Bob.

23 Now we're going to have Kevin Walkowicz -- I
24 hope I pronounced that correctly -- from NREL come and
25 give a presentation on their work on medium and heavy

1 duty vehicle attributes, as well. Thank you, Kevin.

2 MR. WALKOWICZ: Thank you. I'm Kevin
3 Walkowicz with the National Renewable Energy Lab. I'm
4 in the Transportation and Hydrogen Systems Center at
5 NREL. We're primarily funded by the U.S. Department of
6 Energy and the Vehicle Technologies Office within the
7 Department of Energy, so a lot of what I'm going to
8 talk about, a lot of our work and a lot of the
9 information here has been developed probably over the
10 last ten years or so through the DOE funded work.

11 I'm going to try to talk a lot about NREL's
12 approach to quantity fuel economy, and somewhat the
13 associated emissions, mainly for new and emerging
14 technologies in the commercial vehicle market. So a
15 lot of our work is very forward looking.

16 So throughout this presentation I'm going to
17 talk a little bit about our approach, some of the data
18 and tools that we use, and then some examples of how
19 we're putting all this together on a few different
20 projects.

21 So as noted earlier, when you're trying to
22 understand consumer behavior and demand forecast for
23 medium and heavy duty trucks, a lot of the medium and
24 heavy duty commercial customers focus mostly on cost
25 and fuel economy that kind of drive the ROI for those

1 investments in the fleet.

2 I would also add that vehicle cost always
3 includes maintenance costs, infrastructure costs, and
4 a lot of the variability of fuel economy estimates
5 based on the usage of that technology within the
6 fleet, so these are the things that we try to drill
7 down into and provide some of our research with the
8 higher resolution data that maybe drives toward
9 gaining an understanding of specific mile per gallon
10 numbers or overall fuel costs. So we look at the
11 attributes of mpg and cost but we try to look for what
12 the drivers are behind that.

13 So a couple points I want to make.

14 One is that there's always the one-size-fits-
15 all constraint in trucking. There's many, many
16 different duty cycles, engine, chassis combinations.
17 Someday maybe I'll try to quantify and add up how many
18 exactly there are. But there's so many different
19 versions of that.

20 A lot of the built sizes are very small
21 compared to light duty vehicles, so as much as
22 manufacturers would like to maximize their
23 profitability by using economy as scale, they really
24 need to thoroughly understand how the vehicle is being
25 used and what that means as far as system performance

1 and system requirements across that range of usages.

2 So fleet purchasing often based on
3 assumptions of performance based on published studies,
4 so a lot of times fleet managers will go out and look
5 at, well, what do I know about this, what's been
6 published? But at the end of the day I think we at
7 NREL really try to add some additional information for
8 fleets, OEMs, R&D organization and regulatory agencies
9 and try to supplement some of that data with
10 additional information that we can maybe use in some
11 of these forecasting efforts. So we really do these
12 deep dives into some of these technologies.

13 So a little bit of background on our
14 approach.

15 We've been doing this for maybe a dozen years
16 or a little bit more. But we try not to only publish
17 the best possible mpg but also try to be an objective
18 third party data source. And by that, I mean we will
19 show the entire range of performance that you can
20 expect from a technology across different usages.

21 A little more background. We've gathered
22 quite a few miles of driving data for these advanced
23 technologies, and typically we try to capture
24 technology deployments that have just hit the street,
25 so in the first year of hybridization in trucks, we

1 tried to really gather up data on those. We're not
2 doing so much on it now but we tried to give that
3 early indication of what you can expect as far as fuel
4 economy and costs out of a medium duty advanced
5 technology.

6 So a lot of the data and analysis is shared
7 with DOE, also our other lab partners. I think Bob
8 mentioned Argonne, we work closely with them. Also
9 Oakridge National Lab. And we also share with industry
10 so that planning and strategies can be developed.

11 But at the end of the day I think it helps
12 really guide intelligent usage of this technology, and
13 I'll get into that a little bit more later, but you
14 can expect a wide range of performance for some of
15 these technologies, so where's the sweet spot to use
16 some of these technologies, and how can we help
17 fleets, users, OEMs, all understand what the best --
18 you know, if you're going to build one engine for a
19 hybrid system what should that engine be? Or what
20 should the ideal battery pack be? What are the sweet
21 spots? Where can you find the most opportunity for
22 communization to help work with those quantities of
23 scale issues?

24 So real quick, we work with fleets and OEMs
25 to understand the latest technology as it's being

1 deployed. We collect usage data and vehicle data to
2 analyze some of the attributes listed in the blue box
3 there below, all of which will help define purchases
4 and demands for new vehicles.

5 In essence, we try to provide data where not
6 a lot exists on these types of attributes so that it
7 might be able to feed other efforts to project or
8 regulate, build, deploy, these types of advanced
9 technologies.

10 Just to mention a few of those. You know,
11 operating costs, we try to look at total operating
12 costs and calculate that.

13 In-use fuel economy estimates and ranges that
14 could be expected there.

15 We gather up chassis dynamometer emissions
16 testing. It's an easy way to compare apples to apples,
17 so new technology versus old technology.

18 We look at unscheduled and scheduled
19 maintenance costs to look at the whole, the total cost
20 there again.

21 Warranty issues, try to dig into that on our
22 studies. Sometimes these are hidden costs that won't
23 show up until a few years down the road, but if you
24 have kind of a good understanding on what the failure
25 rate are of some of the technologies you can really

1 try to get a handle on what's going to be happening
2 three and four years out when the warranty is done.

3 Reliability, percent availability, miles
4 between road calls, this all drives fleet sizing. How
5 many vehicles do they need to actually buy to cover
6 their routes? Do they have to buy five extra vehicles
7 because of their reliability associated with a certain
8 technology and what kind of costs do those add?

9 And then implementation issues, barriers,
10 really digging into the cost of the infrastructure and
11 a lot of the operational issues that emerge that the
12 fleets have to deal with, so those all add up when
13 you're looking at total cost of operation and
14 ownership.

15 Real quick I just wanted to show this. This
16 is kind of a current portfolio of what we have going
17 as far as digging into some of these technologies. But
18 we'll look at everything from how different fuels will
19 affect costs, so we're looking at biofuels. There's
20 some natural gas trucks we're looking at. We're
21 looking at full EVs including a lot of the
22 infrastructure costs.

23 Fleet Platooning, another fancy way of saying
24 improved aerodynamics on over-the-road trucks. What
25 effect of what opportunities do those really have in a

1 fleet when you consider traffic patterns and terrain
2 and weather and those types of things.

3 On the right column we've done quite a bit of
4 work on some of the medium duty electric vehicle
5 deployments that are out there, so looking at how
6 efficient those trucks actually are and how they're
7 being driven.

8 And then along the bottom there in the green
9 is a few different projects that we're doing work not
10 for the Department of Energy. South Coast, AQMD, CARB
11 and EPA. We're working closely with them to deploy
12 some of these processes and tools to help them
13 understand everything from drive cycle to performance.

14 So we use a data and modeling approach to
15 quantify miles per gallon and cost estimates for a lot
16 of the new technologies.

17 We have a -- I'll talk about it in a minute,
18 but we have a project called Fleet DNA. It's data from
19 all our field evaluations as well as quite a few of
20 our partner fleets to really help to define the usage.

21 And then analyzing, exploring, optimizing
22 technology based on those duty cycles. We'll use a
23 range of different vehicle models. We have our drive
24 cycle analysis tool that kind of helps summarize how
25 the vehicle's being driven.

1 We have what's called Fast Sim. It's a
2 simulation model that we can quickly go through a lot
3 of different drive cycles.

4 The A Fleet model is a model developed by
5 Argonne National Lab to look at life cycle costs, and
6 then we use autonomy.

7 We also use Gems Moves. NREL has a light duty
8 fleet -- or a light duty technology adoption model
9 called ADOPT. So we try to use those to look at
10 projecting out to a national number, an analysis of
11 national factors are important.

12 So we start with the individual vehicles on
13 individual routes and we try to work our way up into
14 what we can tell about different regions or states or
15 national levels.

16 So Fleet DNA, real quick. It's a tool we use
17 to really understand the breadth and the variability
18 of a specific vocational usage. This variability can
19 really affect the expected miles per gallon and really
20 the lifetime costs of a given technology.

21 So you can imagine EVs and maybe the unknown
22 battery life of an EV in a medium or heavy duty
23 application. How long is that battery going to last?
24 Well, it depends on the duty cycle, so you need to
25 know a little bit about the duty cycle and a fleet

1 manager will want to know that to know, hey, am I
2 going to have to replace a 100 kilowatt hour lithium
3 battery pack in five years or ten years or fifteen
4 years? Battery costs are high so that can be a
5 significant cost.

6 So we try to put all this data out there and
7 really try to understand the duty cycle. A lot of the
8 information is online posted on our website, but we
9 also have a few opportunities to drill a little bit
10 deeper and look at specific cases. So if anyone's
11 interested in questions under any of these vocations,
12 certainly let us or DOE know.

13 Just an example here of how we use Fleet DNA
14 and the DRIVE tool, so each one of those blue dots are
15 a day of operation that we measured on these, in this
16 case utility bucket trucks. They actually have
17 exportable power but they also have all electric
18 operation both at the jobsite and through the
19 driveline available.

20 So what we do is we go out there and try to
21 understand how they're being used. The different
22 shapes of different colors represent some of the
23 standard drive cycles that you might have available to
24 test to out there.

25 So what we do is try to overlay how the

1 vehicle is being used and then pick some appropriate
2 drive cycles or even run some custom drive cycles
3 based on that. And again, it can be anywhere from zero
4 improvement out to 50, 60 percent improvement
5 depending on what drive cycle you choose, so it's very
6 important that you understand how the vehicles are
7 being used out in the field and test accordingly or
8 pick the right test results accordingly.

9 When we project from kind of our individual
10 data, our captured data, and we try to project that
11 out to maybe a fleet or a regional or state or
12 national level, we also have other datasets that we
13 can draw from. Just a few examples here are shown.

14 Most importantly, we've done a lot of work
15 lately on grade, so that obviously will affect the
16 road load of the vehicle that it's going to see and
17 really affect the performance of the vehicle.

18 We use Moves and Polk data to provide us with
19 some population estimates, again, when projecting out
20 to a national level.

21 And then we also, we've been doing a lot of
22 GIS street mapping work to help us understand maybe
23 projected routing or routing opportunities or just
24 general traffic road type and understanding how that's
25 going to be used so you can maybe pick based on where

1 the vehicle is used, what type of operation it would
2 see or maybe look for areas again to improve the
3 performance.

4 So putting all that together, we try to
5 provide input to component sizes and other vehicle
6 characteristics in our vehicle model and run it
7 through a variety of in-use conditions or drive
8 cycles.

9 Outputs always include fuel economy or
10 vehicle performance, but we can also estimate vehicle
11 costs even for all these variable component sizes that
12 we might be able to put in.

13 For light duty, again, we use the ADOPT
14 model. We don't really have a heavy duty version of it
15 yet so I'm kind of interested to maybe work with the
16 Truck 5 model that was mentioned earlier.

17 Here's some examples of some of the output
18 that we generate when we do some of these studies. So
19 basically on the X axis you're looking at a percent
20 change in some of the vehicle attributes. And then on
21 the Y axis is what kind of fuel economy change you
22 might expect for that vehicle.

23 And each one of the dots in each of these
24 examples is a different drive cycle or day of
25 operation that we ran it on, so you can kind of see

1 what the expected range, high, low and average, might
2 be, you know, looking at drag, coefficient, or engine
3 sizing, wheel rolling resistance, mass reductions. All
4 those types of things, once we get the vehicle usage
5 data we can understand what attributes might give the
6 biggest bang for the buck when a fleet is looking to
7 make a change.

8 So a few examples real quick that we've used
9 these tools on. Again, working with OEMs. Right now
10 we're working with Eaton, Oak Ridge, and Smith
11 Electric Vehicle is looking at optimizing a multispeed
12 gear box for their electric vehicle.

13 So again, understanding how it's used, what
14 the duty cycle looks like, is going to dictate what
15 your power and torque requirements are going to be. So
16 really trying to optimize the technology again for
17 some of the given use.

18 You can see down in the lower here, this is
19 all of our packaged delivery data that we have on
20 those types of vehicles.

21 City of Indianapolis, we went out and worked
22 with them. They were interested in CNG and also
23 transmission calibration.

24 So same process. We went out and tried to
25 understand how the vehicles were being used, what the

1 demands were on the vehicle system, and then looked at
2 what opportunities there were based on some of the
3 vehicle modeling that we did for them as far as how a
4 CNG engine would perform, or maybe --

5 I know in the end the one thing they did do
6 is they implemented a different shift schedule with
7 Allison Transmission to improve their fuel economy by
8 4 or 5 percent. Simple fix but they figured out how
9 they were driving them and what the transmission shift
10 schedule should look like.

11 Looking at some of the regulatory work that
12 we've done. I guess long story short here; we're
13 working with EPA to try to help craft some of the
14 greenhouse gas Phase 2 regulations, so putting some of
15 the analysis behind the drive cycle selection and how
16 that gets worked into the regulations to make sure
17 that technology is quantified correctly based on how
18 it's going to be, so if it's a standard cycle or maybe
19 if someone's going to propose a more custom cycle.

20 Last one just real quick, you know, kind of
21 looking further out. Looking at the aerodynamic drag
22 on trucks. Truck platooning, same thing. We looked at
23 what the technology does under a lot of different
24 conditions, mapped that out.

25 Next step is we're going to try to understand

1 what that means at a national level. So how often do
2 the trucks drive at 65 miles an hour. You know, what
3 does the terrain look like? What does the road grade
4 look like?

5 So the chart in the middle there just shows
6 all the different areas that we tested. And we looked
7 at following distance versus vehicle load and vehicle
8 speed and then how much fuel it saved. So again,
9 providing that range and then understanding the usage
10 you can kind of figure out where you might fall on
11 that curve.

12 So last two projects real quick here.

13 One, working with South Coast AQMD. They're
14 interested in understanding NOx expectations for some
15 of the emerging technologies. And they really want to
16 understand, you know, where are the big NOx producers?
17 What vocations were they. Try to identify the top
18 three vocations.

19 Go out and understand those vocations with
20 some data collection and drive cycle analysis, and
21 then do some simulation to try to look at what
22 technology, again, might have the biggest bang for the
23 buck to reduce NOx in those three specific vocations.

24 So these are just some slides I pulled from
25 the actual project. But again, identifying kind of the

1 top year, make, model, vocations of vehicles, and then
2 we go out and we do some field data instrumentation to
3 really understand the usage of the vehicles.

4 And then last task is going to be to do some
5 simulation analysis of the powertrain technologies to
6 look at what will affect the NOx in the most
7 beneficial way.

8 Last project is kind of a follow-on to the
9 first project. But again, working with AQMD, and in
10 partnership in this case with Ricardo to create a
11 potential zero emission vehicle roadmap which will
12 look more closely at possible technology adoption
13 rates and their effect on NOx and CO2 out into the
14 2023, 2032, and 2050 timeframe.

15 So a little more of a forward-looking effort
16 to understand what technologies will be evolving and
17 deploying, and then what the environmental effects
18 might be for the various scenarios that come out of
19 the roadmap.

20 So for this one we're going to be using the
21 Ricardo total cost of ownership model, which is kind
22 of a fleet decision methodology tool. And we've done a
23 little bit of work to make sure it complements the
24 CARB sustainable freight initiative, so we're trying
25 to make sure all that comes together.

1 So again, actual use data driven approach to
2 analyze mile per gallon fuel economy, CO2 emissions,
3 along with a lot of the other fleet costs. Cost of
4 operation. And also concerns to try to understand how
5 we might improve the penetration of some of these
6 advanced efficient technologies into both today and
7 tomorrow's market.

8 Last comment will be kind of looking forward
9 in the future. I do want to mention that U.S.
10 Department of Energy recently completed the Supertruck
11 Project. I think three out of four of them wrapped up
12 this year, and it's getting ready to kick off the
13 Supertruck 2 Program, so a little plug for that.

14 But it's a really good source of information
15 to try to get a look into what technology might be
16 coming next in the heavy duty industry, so if you're
17 interested in what technologies and what effects they
18 have, I encourage you to look at the DOE Supertruck
19 website.

20 A lot of those projects developed and tested
21 a lot of different technologies on Class A trucks and
22 there were some very nice gains associated with those
23 trucks and those technologies in both fuel economy and
24 engine efficiency. So definitely take a look if you
25 want to see what's coming in the next five to ten

1 years. I think a lot of what was developed there will
2 be maybe cherry picked and deployed across a number of
3 different vocations for trucks in the next few years.

4 So that's it. If anyone has any questions, I
5 can answer them.

6 MALE VOICE: We do have one online question,
7 again from Sam Pournazeri. On Slide 11, how about
8 vehicle speed limiter technology?

9 MR. WALKOWICZ: Vehicle speed limiter. Yeah,
10 I think that kind of plays into the -- that could be a
11 calculation we could definitely look at and that would
12 be associated with the aerodynamic drag. Obviously
13 it's a square effect, so that would be an interesting
14 thing to break out. We haven't looked at that but we
15 could certainly generate curves associated with
16 different drag coefficient changes and limit it from
17 going from 65 to 60 or 55 looking at mile per gallon
18 improvements for that type of thing.

19 And again, Slide 11, that's just kind of a
20 sample. We probably have a dozen or 15 different
21 attributes that we generally try to look at, or what
22 we think we need to look at. So if anyone has other
23 attributes they want us to analyze, certainly let me
24 know. We're always looking for good suggestions on
25 what it is that people want to know from some of this

1 data.

2 No other questions?

3 MS. STRECKER: That's it.

4 MR. WALKOWICZ: Okay. Thank you.

5 MS. STRECKER: Thank you, Kevin.

6 And for our last presentation of the day
7 we're going to have Marc Melaina, also from NREL, talk
8 about time to fueling station. And Marc is online, so
9 hopefully he's there and can hear me and is ready to
10 go.

11 MR. MELAINA: Yes, I'm here. Good afternoon.
12 Can you hear me okay?

13 MALE VOICE: Yes, we can hear you. Just let
14 me know when you want to change slides.

15 MR. MELAINA: Okay, great. So my name is Marc
16 Melaina, I'm an analyst at NREL. I work in the same
17 transportation center analysis group as Kevin
18 Walkowicz. I'm going to talk about some of our
19 analytic framework to look at these future trends that
20 Kevin reviewed, extrapolating from near term data,
21 looking into the future of how we think vehicles and
22 fueling systems might evolve over time.

23 If we could go to the next slide.

24 There's four different topics that I'm going
25 to cover. The first one is really just the estimation

1 of drive times, or say definition of drive times. And
2 the stations here that we're talking about are
3 alternative fuel stations, so it's how far you'd have
4 to drive to get to a fueling station if you have an
5 alternative fuel vehicle, is the idea.

6 In the example that I'm going to show and
7 that we've integrated into our own fair markets from
8 Dr. Mike Nicholas from UC Davis.

9 The second topic is, given the understanding
10 of drive times, how can those be translated into cost
11 penalties within a vehicle choice analytic framework.
12 So projecting how drive times might impact market
13 adoption.

14 So I have an example from Dr. David Greene
15 and Jen Hung Lin from Oak Ridge National Lab, their
16 MA3T model uses this kind of cost penalty for market
17 share projections. We use our own at NREL as well, but
18 I'm going to try and make the connection there between
19 the physical drive times and then those economic cost
20 penalties for consumer choices.

21 Then number three is a caveat just on this
22 basis of percent of gasoline stations. I think that'll
23 be clear when I get to it.

24 And then four is sort of another caveat on
25 drive times, physical drive times being very different

1 from how consumers actually perceive refueling
2 availability from sort of their understanding as a
3 consumer rather than just say two minutes or three
4 minutes as an analytic result. How do people actually
5 think about refueling availability and how far they
6 might have to drive.

7 So those are the four topics. I have a lot of
8 slides I'm going to go through pretty quickly.

9 So for the average travel time metric, this
10 is the definition from Mike Nicholas from UC Davis. He
11 had an important paper from 2004. I think it was a
12 Transportation Research Board paper. It was also part
13 of some of his graduate work.

14 The idea that for all residents in a given
15 urban area, how far would they have to drive to a
16 station if there are only a limited number of stations
17 in a city? So the model identified the best locations
18 to minimize average travel time from the home, and
19 then you could estimate how many stations would
20 provide what level of convenience for new consumers of
21 a new vehicle.

22 So in bold here that fourth bullet, the idea
23 here is to try and estimate or quantify a sufficient
24 level of coverage of stations. And this is especially
25 important or most essential for dedicated alternative

1 fuel vehicles such as CNG and hydrogen vehicles that
2 really have to refuel at a retail station. There are
3 some CNG home fill, but retail stations for dedicated
4 vehicles, the idea is the critical market dynamic.

5 So this model from UC Davis is similar to the
6 UC Irvine STREET model. They estimate things a little
7 bit differently, but I think the drive time concept is
8 generally the same.

9 And I'm not going to talk about planning too
10 much, but the STREET model was used as an analytic
11 tool in developing the California Fuel Cell
12 Partnership Roadmap for hydrogen stations.

13 So the map here, I think is a good way to
14 show that this is a result of just two stations in
15 Sacramento, sort of the travel basin of where people
16 would have to drive to get to those.

17 So analytically you would add up all those
18 trips from all the people that live in those areas and
19 figure out the average time for all the people in
20 those cities if there are just two. And then you can
21 gradually increase the number of stations to get lower
22 drive times. We'll see that in the next couple slides.

23 If we can go to the next one.

24 So the result here analytically on the graph
25 on the left -- again, this is from the Nicholas study

1 -- and the average travel time is minutes, going from
2 14 minutes down to zero. And then the number of
3 alternative fuel stations on the horizontal axis
4 increasing.

5 So very quickly, as you put in one, two,
6 four, eight, sixteen stations, your average travel
7 time for everybody in the city drops from 12 down to 4
8 minutes. Again, this is Sacramento. And what you see
9 is a leveling out to about 2 minutes, which is sort of
10 what we expect for gasoline in the city. So you see
11 decreasing returns there.

12 The map on the right just shows the scatter
13 of where those stations were located in Sacramento by
14 the optimization model.

15 If we can go to the next slide.

16 So this is the number two topic from my
17 overview slide. Given those estimates of travel time,
18 how do we translate that into a cost penalty?

19 If someone is at the dealer and they're
20 looking at a vehicle that has to be refueled and
21 there's only a limited number of stations, how might
22 they see that vehicle as being less valuable if they
23 know there's only a limited number of stations
24 available?

25 So here again, the horizontal axis is the

1 number of stations but it's shown as the percentage of
2 gasoline stations in the city. And then as that
3 percentage becomes small moving to the left, moving
4 toward zero, the cost penalty increases exponentially.

5 You can imagine at zero, of course it's
6 infinity because you can't refuel your vehicle. But as
7 you add more stations to an urban area that cost
8 penalty comes down fairly quickly.

9 So just as a reference point, it's about a
10 \$500 cost penalty if 10 percent of the locations
11 offered the fuel. So that's the idea and that's how it
12 would be implemented in the model.

13 If we could go to the next slide. I'm not
14 going to spend too much time on this. Hopefully,
15 people are familiar with the kind of modeling that
16 this refers to, but the consumer choice modeling
17 weighs a lot of different attributes for a vehicle and
18 monetizes them, and combines all the utility function
19 to help determine what type of vehicle different
20 consumers are buying.

21 So it's a little bit of a complicated graph
22 in the bottom left there, but it just shows green
23 being the retail price of a vehicle, so it's a
24 baseline dollar-to-dollar relationship.

25 And then it shows how acceleration, range,

1 and the volume of the vehicle, if those change, what
2 is the resulting equivalent retail price penalty or
3 benefit for a particular type of vehicle. So that's
4 one way to visualize how these utility functions work
5 in a consumer choice model.

6 And the previous slide was basically that
7 same attribute from David Greene's model translated
8 into a retail price equivalent, so that was that \$500
9 one that I mentioned.

10 So we'll go to the next slide.

11 So what we've done, as Kevin mentioned, we
12 try and expand our models to go national so we can
13 look at markets across the country.

14 So again using the same travel time model,
15 Mike Nicholas at UC Davis analyzed four major cities
16 in California that had correlations with travel times
17 and the population density of each city, and he
18 identified the correlations shown in the top right
19 figure.

20 So basically as the population density
21 increases it's easier to give more people access with
22 fewer number of stations. Just sort of an intuitive
23 result, but the correlation is fairly strong.

24 And again, this is a travel time model for
25 each city.

1 So what we've done is we took that
2 parametrization and extrapolated it to all the cities
3 in the country. We already know their population
4 densities, so we just assumed that those travel times
5 were sort of universal trends and that a lot of cities
6 have the same basic structure. So given those
7 correlations we could estimate travel times for any
8 urban area in the country.

9 If we can go to the next model -- I'm sorry,
10 the next slide.

11 This is the actual equations that we used
12 that we generalized from the Nicholas study. And we
13 used six minute drive time as sort of a baseline for a
14 coverage station similar to the California Fuel Cell
15 Partnership Roadmap.

16 Go to the next slide.

17 One of the things that we did to try and
18 correct for just using California based stations is we
19 analyzed very closely the number of gasoline stations
20 across the country. The figure on the left is just an
21 important trend so people understand the historical
22 progression of gasoline stations. The number of
23 stations have been going down over time as the number
24 of vehicles goes up, so these are not really static
25 numbers when we talk about gasoline stations.

1 And the figure on the right shows for
2 different regions in the country the number of
3 stations per area or per person varies depending on
4 where you are in the country.

5 So before we extrapolate from those four
6 cities in California we have to correct for that
7 variation reaching across the country.

8 If we can go to the next slide.

9 This is a little bit more evidence for that.
10 There's a paper we published with Dr. Joel Bremson
11 from UC Davis. This again reinforces this idea that
12 the number of gasoline stations in the country varies,
13 so you see the major cities in the U.S. with station
14 density, stations per square mile on the vertical
15 axis, and then population density on the horizontal
16 axis, and you see a pretty broad range from .5
17 stations per square mile up to 1.2 stations per square
18 mile.

19 So what we've done is we've corrected for
20 that lower bound sort of the dotted line along the
21 bottom of this cluster of dots and we've used that as
22 a baseline to try and correct for the variability in
23 the density of gasoline stations. And then we have a
24 little bit more accurate and consistent estimate of
25 drive times for all U.S. urban areas.

1 Go to the next slide.

2 This is just basically the equation that we
3 used to do that correction for the number of what we
4 called threshold stations. And the cover there is from
5 a report where there's some more details on this
6 equation if people want to learn more about how we did
7 that. It's the *Transportation Energy Futures Report*
8 and there's details in the appendix on how we did
9 this.

10 If we could go to the next slide.

11 I want to talk about just building on the
12 actual traffic model used by Mike Nicholas at UC Davis
13 compared to some other estimates such as the STREET
14 model.

15 We also did another estimate by clustering
16 the number of stations in urban areas to simulate what
17 a reduced network of stations would look like.

18 And instead of going into this geometric
19 figure here, I'm going to show sort of an animation if
20 we could go to the next slide.

21 Just one example of a city. This is
22 Birmingham, Alabama. The red dots are all the
23 gasoline stations and the size of the dots is the
24 volume of fuel from each station.

25 So analytically knowing the locations and the

1 volume of all the stations, what we did is the first
2 two stations that were closest to each other, we had
3 basically the larger of the two sort of swallow up the
4 smaller one and cluster them together, and we did that
5 one by one for all the stations that are close to each
6 other to simulate how the same amount of fuel would
7 have to be delivered to a smaller number of stations,
8 so that's the clustering idea.

9 And what we did is each time we eliminated a
10 station we said that the people who were going to
11 refuel there had to drive an extra distance to get to
12 the other station, and that's how we estimated travel
13 time if you had a reduced number of stations.

14 So hopefully that idea makes sense. And if we
15 go through maybe one second at a time in the next
16 couple slides, we start clustering these together.

17 So at .1 mile you don't really see much
18 change, but we've actually clustered at this point on
19 Slide 15 31 percent of the stations have been
20 eliminated from the network.

21 You still have really good coverage but here
22 you can see that the volumes start to concentrate and
23 the network of stations starts to thin out.

24 So now they're clustered at .4 miles and half
25 of them have disappeared, so people are having to

1 drive further to a limited number of stations. And in
2 the model we keep track of how many trips, how much
3 fuel they're using, and how much further they have to
4 go.

5 So now we're coming up on 1 mile cluster
6 distance, so no station is within one mile of another
7 station on Slide 23. So hopefully this sort of shows
8 people what that drive time looks like if you start
9 removing stations.

10 If we could click one more.

11 See, it's really becoming a more sparse
12 network and I think coming up here we have to switch
13 to another time or another volume scale, so it's going
14 to switch to purple dots just to show people these
15 circles get too big so we have to readjust the scale
16 here.

17 If we stay on this one for a second, you can
18 really see the distribution. The same amount of fuel
19 analytically going through this limited number of
20 stations. And we now know how much further people had
21 to drive to get to this much sparser network of
22 stations to get the same amount of fuel.

23 So that's how we estimated drive time for
24 this particular model.

25 A couple more clicks and we'll be to sort of

1 the bare bones coverage of 4 miles, now 5 miles
2 between stations.

3 So this graph shows it for three cities. We
4 actually did it for about 100 cities across the
5 country and found pretty consistent results. And they
6 did confirm that the more elaborate traffic model from
7 the Nicholas study, the same sort of exponential
8 trend.

9 So again, this is when we put a penalty on
10 the time it takes to drive to the other station, we
11 can have that consumer choice model price penalty for
12 the purchase of a new vehicle, and this particular
13 analysis sort of validated the same type of curve from
14 the Nicholas study.

15 So that goes through the first three topics I
16 was going to cover.

17 If we can go to the next slide.

18 I have sort of a different take on this
19 travel time idea. What I've shown so far is what we
20 refer to as a rational actor view of travel times. So
21 rational meaning if somebody actually knew how far
22 they had to drive, they'd project into the future how
23 often they'd have to do it and they knew that it was
24 sort of a nuisance cost of, say, \$20, \$30, \$40 per
25 hour to drive out of their way, we can calculate how

1 that rational actor would perceive a vehicle as being
2 less valuable. So that's what happens analytically in
3 the model.

4 However, there's another way to look at it
5 and that's to do a survey and ask people, try and give
6 them good information about what kind of choices they
7 would be making to buy a new car, and show them in
8 this case very detailed maps of where they live and
9 where stations might be located. And then through the
10 screen choice framework for the survey, try and key
11 that what that cost penalty might be from just their
12 understanding of this information in the survey.

13 So this was a study that took us about two,
14 two and a half years. We did three different versions
15 of the survey. Each time we improved it a little bit
16 more. The final one was about 400 -- I'm sorry, bottom
17 bullet here -- about 500 participants in four major
18 cities across the country, and we started getting
19 statistically significant results to try and nail down
20 these cost penalties associated with limited fueling
21 availability.

22 So basically this is a panel of people in
23 their homes. They had computers. PA Consulting worked
24 with us to develop a survey. The panel members, you
25 know, they corrected for the weights for which

1 households they were drawing information from.

2 People would take the survey in their home
3 and they would see that screen on the right and just
4 sort of scroll down through all the questions, and
5 then at the bottom they would choose the conventional
6 vehicle on the left column and then the alternative
7 fuel vehicle on the right.

8 It would show them the price of the vehicle ,
9 some other attributes and fuel costs. But in
10 particular we wanted to weigh these maps of where
11 stations were against those other vehicle attributes
12 and then determine based on their responses how much
13 they valued increased availability of stations.

14 So this is a couple zoom-ins on that screen
15 to help explain what we did in the survey, if we could
16 go to the next slide.

17 So this level of coverage was the
18 metropolitan level. We asked people to find where they
19 lived on the map to make sure they understood the map,
20 and then we showed them different levels of coverage
21 where the gasoline stations full coverage is on the
22 left and the alternative fuel for the new vehicle
23 purchase, hypothetical purchase decisions are the red
24 dots on the right.

25 So they would look at this map and weigh this

1 against the other vehicle attributes and try to decide
2 which vehicle they would buy.

3 If we could go to the next one.

4 This just shows that in the survey itself we
5 had four different levels. Full coverage is number
6 one. Two and three are sort of the intermediary
7 coverage levels. And then four is very close to
8 maximum, and five is the same coverage as conventional
9 vehicles.

10 One reason why we did this survey several
11 times is we had to try and make these maps distinct
12 enough that people could respond to them differently
13 but statistically relevant interpretations of what
14 these meant for their purchase decision. So that's the
15 metropolitan coverage and this is just shown for
16 Seattle.

17 Let's go to the next slide.

18 We moved to another level of coverage, and
19 this is on the regional scale, so the circle there is
20 150 miles outside of Seattle. We have comparable maps
21 for all the other cities and you can see some extreme
22 cases of where stations would be shown.

23 Gasoline stations are everywhere, but if you
24 want the alternative fuel vehicle you can only refuel
25 at these locations with the red dots on the right.

1 If we could go to the next slide.

2 This will show you L.A. and all four levels
3 of coverage that we had. The red dots are a little bit
4 faint on number two in the top there, but there are
5 just a few stations outside of L.A. where you could
6 refuel. And then three and four you have much better
7 regional coverage. And then level five you would say
8 the alternative fuel is as available as gasoline. So
9 that's the regional level.

10 And then we had one more level of coverage on
11 the next slide, and it was along interstates.

12 So here we're back in Seattle and we say,
13 well, if you buy this vehicle this is as far as you
14 could drive on the interstate and still have access to
15 fuel.

16 If we go to the next slide we show the four
17 different levels again.

18 The first here being no travel outside of the
19 metropolitan area. And these maps are for L.A. So
20 we're switching between L.A. and Seattle.

21 So the first one is you can't actually drive
22 out of the 150 mile region, so you can expect that
23 there would be higher penalties for that one, and we
24 did see that.

25 And then the top right, you can only drive a

1 limited range. And the bottom left you can basically
2 drive, say, halfway across the country. And then the
3 fourth option is the same as gasoline, all
4 destinations are possible.

5 I think on the next slide we show some of the
6 results from the survey, and these are just bulleted
7 results.

8 Again, we're talking about stated preferences
9 so we know that these are probably not quite what
10 people would do in the real world but we did get some
11 interesting results.

12 For that first level of urban coverage, or
13 lack of coverage of refueling availability, we saw
14 penalties ranging from \$750 to \$4000, and this is
15 basically against the purchase price of the vehicle.
16 So for very low coverage the vehicle would look \$4000
17 less valuable to a consumer if you didn't have enough
18 urban stations.

19 Regional ranges were \$1500 to \$3000. And then
20 those interstate maps, if there's not enough
21 availability there, the penalties were surprisingly
22 high at \$2000 to \$9000.

23 And our interpretation of these results is
24 that these would be cumulative so that you would add
25 all three of those up depending on how many stations

1 were providing coverage to a particular urban area.

2 So we want to contrast those stated
3 preference results with the earlier rational actor
4 estimates, and the rational actor estimates are based
5 upon travel times in our clustered approach and
6 they're used in the Argonne MA3T model and I believe
7 in the National (inaudible) model. Those are about
8 three to four times lower, down to \$250 to \$1500
9 penalties for coverage of stations, and then they do
10 not currently have sort of consistent penalties for
11 those other levels of coverage.

12 But you can see there's a pretty broad range
13 between these two different ways of estimating the
14 cost penalties.

15 I think we show that graphically on the next
16 slide.

17 So this is pretty busy, I'm not going to walk
18 all the way through it, but the cost penalties on the
19 vertical axis and it gets larger as you have fewer and
20 fewer stations toward the left.

21 But what it shows is the very bottom one,
22 below \$1000, the dashed line,, is our clustering
23 analysis results. That's the rational actor result.

24 And then the stated preference ones are shown
25 above. Blue is Los Angeles. Green is Atlanta. The pink

1 fuchsia is Seattle. And then Minneapolis.

2 And you can see there that order of magnitude
3 of two to three to four, depending on which city it is
4 for the stated preference penalties.

5 And I think I just have one more sort of
6 detailed slide here. This just highlights that there
7 is variability between cities. So in a lot of ways Los
8 Angeles is an outlier.

9 So if you take a penalty from one city and
10 say it applies to another city, you might be missing
11 some important sort of geographic constraints.

12 In our survey we had higher penalties in Los
13 Angeles for a limited number of stations compared to
14 these other cities. The difference is shown in the
15 bottom right where we just compare the purchase price
16 penalty for Los Angeles versus Minneapolis as a
17 function of the percent of stations offering the fuel.

18 So I think that's all the material I wanted
19 to present. I have one summary slide here just to
20 review what I've presented.

21 You can estimate average travel times and
22 distances using traffic models, which is a fairly
23 satisfying way to try and understand how coverage can
24 be provided in a given urban area. So I showed how the
25 study from Mike Nicholas at UC Davis did that for four

1 major cities in California.

2 And I showed how those travel times can be
3 translated into price penalties in consumer choice
4 models, which has been done in a few different models.

5 The third bullet here is just a reminder that
6 there's a caveat on the percent of gasoline stations
7 because the number of gasoline stations does vary
8 between cities, between regions in the U.S., so you
9 have to correct for that, especially if you're doing a
10 national analysis.

11 What I've proposed here is that the rational
12 actor penalties are sort of a floor. They're probably
13 a little bit of a low estimate on what people would
14 actually perceive this penalty as.

15 And then the fourth bullet is that in
16 contrast the stated preference penalties are probably
17 a little bit too high. And we showed how they differ
18 by about three to four times in terms of the dollar
19 retail purchase price equivalent.

20 And then finally I think people have been
21 wondering this. If you haven't, you can wonder about
22 it now. How do we use this information to try and talk
23 about D.C. fast chargers? And I would just caution
24 that charging for plug-in electric vehicles is much
25 more complicated than the relatively simple dedicated

1 vehicle only refuel at a retail station idea. So I
2 think that this can be used as a guide, but it doesn't
3 really untangle how D.C. fast chargers play a role in
4 market adoption when plug-in electric vehicles can
5 also charge at home or at work, it's a much different
6 dynamic and more complicated, so I think it only
7 partially guides us on understanding the role of D.C.
8 fast chargers.

9 I think I went pretty quickly there. Let me
10 see if there's any questions.

11 MS. STRECKER: Does anyone in the room have
12 any follow-up questions?

13 MR. MCBRIDE: Sure. I'm just curious if
14 there's any work like this for medium and heavy duty
15 that anybody's aware of.

16 MR. MELAINA: I'm not aware of any, and I
17 think it's a pretty different mental model in terms of
18 a fleet manager making a purchase decision. Is that
19 sort of what you're asking about?

20 MR. MCBRIDE: Yeah.

21 MR. MELAINA: Yes. I would say that this is
22 generally not applicable to a fleet manager making a
23 decision. This is really a little bit about household
24 consumers. So I wouldn't say that there's much of this
25 that can translate over.

1 There are a lot of fleets that refuel at
2 retail locations, but the fleet managers take into
3 account a whole different set of attributes and
4 decisions when they purchase vehicles. They're much
5 closer to the rational actor model, but they also know
6 where they're going to refuel generally along their
7 delivery routes, so it's a different framework for how
8 they make that decision.

9 So I guess the answer is no, I don't know of
10 a comparable type of analysis for fleet managers.

11 MS. STRECKER: Are there any other questions
12 or comments from the room?

13 Looks like nothing else in the room. Nothing
14 online. We have no questions or comments online, so
15 this concludes our workshop for today.

16 I'd like to thank everybody for their
17 participation and I encourage you all to submit your
18 comments to our docket. If you need information how to
19 do that please refer back to the workshop notice.

20 And we will be having our next workshop on
21 November 4th, 2015, to discuss our revised
22 Transportation Energy Demand Forecast.

23 Thank you, everyone.

24 (Adjourned at 2:21 p.m.)


25 --o0o--

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 30th day of October, 2015.

A handwritten signature in cursive script, appearing to read "Kent Odell", is written over a horizontal line.

Kent Odell
CER**00548

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 30th day of October, 2015.



Terri Harper
Certified Transcriber
AAERT No. CET**D-709