

DOCKETED

Docket Number:	15-IEPR-01
Project Title:	General/Scope
TN #:	206485
Document Title:	Transcript of 10/20/15 IEPR Commissioner Workshop on the Draft 2015 Integrated Energy Policy Report
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	11/2/2015 10:53:15 AM
Docketed Date:	11/2/2015

BEFORE THE
ENERGY RESOURCES CONSERVATION AND DEVELOPMENT
COMMISSION OF THE STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 15-IEPR-01
)
2015 Integrated Energy Policy)
Report (2015 IEPR))

**IEPR COMMISSIONER WORKSHOP ON THE
DRAFT 2015 INTEGRATED ENERGY POLICY REPORT**

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

TUESDAY, OCTOBER 20, 2015

10:05 A.M.

Reported By:
Kent Odell

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES

Commissioners

Andrew McAllister, Lead Commissioner, IEPR Committee

Robert Weisenmiller, Chair

Karen Douglas, Commissioner

CEC Staff Present

Heather Raitt, IEPR Program Manager

Public Present (* Via WebEx/Telephone)

Mark Krausse, Pacific Gas & Electric Company

Christopher Ellison, Ellison, Schneider and Harris, for
Duke American Transmission Company

John Geesman, Alliance for Nuclear Responsibility

Ben Davis, California Nuclear Initiative

Ryan Kenny, Clean Energy

*Carla Viswanathan, Natural Resources Defense Council

*Steve Uhler, California Resident

*George Nesbitt, HERS Rater

INDEX

	Page
Introduction	
Heather Raitt, IEPR Program Manager	4
Opening Comments	
Commissioner Andrew McAllister, Lead Commissioner	5
Chair Robert B. Weisenmiller, Energy Commission	10
Staff Presentation	
Heather Raitt, IEPR Program Manager	12
Public Comments	28
Closing Remarks	53
Adjournment	54
Reporter's Certificate	55
Transcriber's Certificate	56

P R O C E E D I N G S

1
2 OCTOBER 20, 2015

10:05 A.M.

3 MS. RAITT: Okay, good morning everybody.

4 Welcome to today's Workshop on the Draft 2015 Integrated
5 Energy Policy Report. I'm Heather Raitt. I'm the
6 Project Manager.

7 I'll quickly go over the housekeeping items.
8 Restrooms are in the atrium. If there's an emergency
9 and we need to evacuate the building, please follow
10 staff to Roosevelt Park, which is across the street,
11 diagonal to the building.

12 Today's workshop is being broadcast over our
13 WebEx conferencing system. Parties should be aware
14 you're being recorded. We'll post an audio recording in
15 a few days and a written transcript in about a month.

16 I'll be making a presentation with highlights of
17 the report today and then there will an opportunity for
18 public comments. We're asking parties to limit their
19 comments to three minutes.

20 For those in the room, who would like to make
21 comments, please fill out a blue card. And you can give
22 it to me or Shawn Pittard, our Public Adviser in the
23 back of the room.

24 When it's your turn to speak, please come up to
25 the center podium and identify yourself. And it's

1 helpful to give the court reporter your business card.

2 For WebEx participants, you can use the chat
3 function to tell our WebEx coordinator that you'd like
4 to make a comment during the public comment period, and
5 we'll either relay your comment or open the line at the
6 appropriate time.

7 For phone-in-only participants, we'll take your
8 comments at the end of the comment period.

9 Materials for the meeting are at the entrance to
10 the hearing room and posted on the website. Written
11 comments are welcome and there is a notice that went
12 out, yesterday, to extend the public comment period to
13 November 10th. That's a one-week extension. And the
14 public notice for the workshop provides information on
15 the process for submitting written comments.

16 And with that, I'll turn it over to Commissioner
17 McAllister.

18 COMMISSIONER MC ALLISTER: Well, thank you,
19 Heather.

20 So, we're here today sort of to -- really, it's
21 the culmination of a long, long process, and many
22 workshops and a lot of work by staff. And so, I want to
23 give Heather, and Raquel, and the whole IEPR team kudos
24 for managing this process. You know, those of you have
25 been involved before, definitely it's a big team effort.

1 And, you know, keeping the trains running on time and
2 keeping the content and substance high is no mean feat.
3 So, I think we end up with a high quality product.

4 Now, this is the draft that we're talking about
5 today and I certainly expect that written comments will
6 contain substance of all interested commenters, all of
7 the commenters that are interested in the document and
8 in the various issues. So, I definitely encourage
9 people, if you haven't already, to do a deep dive and
10 listen today to the overview that Heather will give.
11 And make comments that you're prepared to make today
12 but, certainly, as deep as you can go on your comments
13 that are due in a few weeks. It will be appreciated.
14 We actually do read them, must read them, and they can
15 change the document.

16 So, my interest in this IEPR -- well, obviously,
17 there are multiple. But I think, really, there are two
18 overarching themes. Climate change is the organizing
19 principle for much of energy policy in this day and age
20 and that is entirely appropriate. And California is
21 leading the way in many important respects. We have a
22 Governor who is absolutely committed to making progress
23 and helping frame this debate, and helping show the
24 pathway that is possible, and make it easier for many,
25 many others to mimic, or learn from, follow, lead in

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 different ways. And I think that's just been valuable.
2 I mean, we take that responsibility very, very
3 seriously. And I think the Governor is providing that
4 vision and thought leadership that the world needs, and
5 not just California. So, very indebted to be actively
6 involved in this process.

7 Second, as the Lead on Energy Efficiency, I am
8 extremely interested in pushing any number of things
9 related to efficiency. And one of the reasons that I
10 sort of agreed to be the Lead Commissioner on this IEPR
11 was to dovetail, really, some of the themes that are
12 going on with energy efficiency.

13 In particular, the Assembly Bill 758 Action Plan
14 on our existing buildings and build those into the
15 discussion on the IEPR.

16 And I think the Efficiency Division staff, a few
17 representatives are here, and the IEPR team have really
18 worked very closely, sort of uncommonly closely together
19 on framing those discussions and the workshops that had
20 to do with the various themes in the Action Plan,
21 putting those together and making them really a great
22 success. So, thanks to the Efficiency Division, as
23 well.

24 So, I think we have some -- and, in fact, one of
25 the fruits of that process was we were able to finalize

1 the Action Plan and adopt it in September, at the
2 Business Meeting. That was, I think, a byproduct of the
3 fact that we were able to marshal some of the resources
4 of the IEPR process to make that happen and feed that
5 process. So, I really -- I think it worked out and the
6 timing was actually quite good for the legislative
7 session. And just, for a lot of reasons, very happy to
8 have that ball pushed forward.

9 The third big theme I think is the drought.
10 There's a chapter on the drought in the document.
11 Heather will mention that. Obviously, a lot of
12 energy/water overlap, certainly on the demand side,
13 pumping and heating. But also on the power plan side
14 and, you know, sufficient water for power plant cooling
15 in the post-once through era is very important.

16 And then, finally, you know, a number of themes.
17 I want to touch all of them, but the forecast is
18 something that we must do. And it is undergoing, I
19 think it's entering a period of rapid evolution.
20 Certainly, the legislative session this year increased
21 the urgency of that evolution, increased our
22 responsibilities somewhat in the forecast, and then what
23 it sort of will be expected to do.

24 I think that is terrific development. It puts
25 some pressure on us to move it forward faster. But in

1 some ways I think the times demand that. And so, I
2 think that discussion to help us do that would be much
3 appreciated, your comments for sure. And, you know, I
4 think our job is to build the resources and build the
5 sort of team and approach that are going to make that as
6 successful as possible, and feed all the other policy
7 processes at the other agencies, the ISO and the PUC.

8 So, there are many important themes in this
9 IEPR, really. I mean, you know, it's once every two
10 years. There's an update in the intervening year. I
11 think we need to make sure that we see that continuity
12 across IEPR cycles because we really do need to march
13 forward in lock step with all of you stakeholders, and
14 taking into account new developments, and technology,
15 environment, and learning from policies in other places
16 and in our own initiatives here.

17 So, I wanted to put a little context around this
18 IEPR. It's very, I think -- we've got a long-term
19 vision and this fits firmly within that vision. And I
20 want to just thank everybody who's involved. And a lot
21 of people in this room sweat, put a lot of blood, sweat
22 and tears into the draft and will continue through the
23 final.

24 So, all of your comments are very much
25 appreciated. And with that, I'll pass off to Chair

1 Weisenmiller. Thanks for joining us.

2 CHAIR WEISENMILLER: Yeah, thanks. I think this
3 is sort of a follow up, in a way, or a continuation of
4 an IEPR effort we both did two years ago, that you led.

5 And again, I think, obviously, climate change is
6 sort of the unifying theme for this report, as much as
7 energy policy at this stage.

8 And, you know, as we've gone through this effort
9 this year, we sort of started out with the E3 Pathway
10 study in some respects foreshadowed part of what we were
11 going to do. And then, with the legislation, you know,
12 again, it sort of reinforced the directions we're
13 heading on this.

14 I think in terms of -- I'm not going to -- you
15 know, you've covered pretty much the pieces so, again,
16 I'm not going to repeat that as much as sort of fill in
17 some of the gaps.

18 I think, certainly with the IEPR, it's a good
19 vehicle for sort of non-adjudicatory, more legislative
20 style of review of energy policy issues. It occurs
21 every year, although there's a major effort like this
22 year, and more minor efforts in sort of alternate years.
23 And so it's not designed, or at least at this point
24 we've evolved to it's not designed to be comprehensive,
25 as much as having a specific focus.

1 And as Commissioner McAllister indicated, the
2 real focus here is on energy efficiency this time.
3 Certainly, there were some continuation activities.
4 There's some work on gas.

5 I think as we go through this it, in many
6 respects, does take a village to really pull together
7 the pieces. You know, and certainly there's been a lot
8 of work by both the core staff on this and throughout
9 the building, you know, on the various pieces.

10 Also, a lot of work with the other agencies.
11 Certainly, we've had very strong participation by the
12 PUC, the ISO, the ARB, the Water Board, Department of
13 Food and Ag. I mean, it's been we've had various
14 participants on the dais with us on many of these
15 issues.

16 COMMISSIONER MC ALLISTER: The BLM.

17 CHAIR WEISENMILLER: The BLM, yeah. I mean,
18 again, it's pretty broad, you know, sort of subsets of
19 that interagency engagement.

20 And, certainly, lots of stakeholder
21 participation. And I want to really thank the
22 stakeholders for their participation on this. Again,
23 it's been a good activity to really get for us to
24 listen, get a lot of input, and regarding try to then
25 synthesize it.

1 Obviously, the draft is now ready for more
2 comments on it as we get closer or do more fine tuning.
3 And, you know, ultimately, again, I think we're sort of
4 in a good place for additional comment, and we'll listen
5 and then we'll go forward on the next step.

6 So, again, thanks for your participation up
7 until now and for being here today.

8 MS. RAITT: Okay. So, I'll just give a high
9 level overview of the 2015 Draft Integrated IEPR --
10 Integrated Energy Policy Report, sorry.

11 The Energy Commission's required to prepare an
12 IEPR every two years that assesses energy supply and
13 demand, production, delivery and distribution, market
14 trends and major challenges.

15 The Energy Commission uses these assessments and
16 forecasts to develop energy policies that conserve
17 resources, protect the environment, ensure energy
18 reliability, enhance the State's economy and protect
19 public health and safety.

20 Further information on the process about
21 developing the report, the IEPR Lead Commissioner,
22 Andrew McAllister, issued a scoping order on February
23 27th, 2015 to identify the report topics.

24 The Energy Commission held 26 public workshops
25 and webinars on topics in the scoping order. And the

1 information gleaned from the workshops have been
2 instrumental in developing the draft IEPR.

3 As the Commissioners mentioned, the report
4 highlights efforts needed to meet Governor Brown's
5 Executive Order, B-30-15, establishing new statewide
6 goals to reduce greenhouse gas emissions 40 percent
7 below 1990 levels by 2030.

8 In his 2015 Inaugural Address, the Governor put
9 forward the following three goals to help reduce
10 greenhouse gas emissions from the energy sector; double
11 the efficiency savings achieved on existing buildings
12 and make heating fuels cleaner; increase from one-third
13 to 50 percent California's electricity derived from
14 renewable resources; and reduce today's petroleum use in
15 cars and trucks by up to 50 percent.

16 The Clean Energy and Pollution Reduction Act of
17 2015, Senate Bill 350, by Senator DeLeon, subsequently
18 codified doubling energy efficiency savings by 2030 and
19 increasing renewable electricity procurement to 50
20 percent by 2030.

21 The 2015 IEPR focuses on energy efficiency to
22 help make the State's climate, clean air and energy
23 goals, topics are listed here on this slide. They
24 include de-carbonizing the energy system, developing
25 fuel forecasts, and addressing key topics facing

1 California's energy system.

2 I'll just go over some of the highlights from
3 the report on each.

4 This graph shows the greenhouse gas emission by
5 sector of the economy, including electricity sector
6 emissions broken down by end use.

7 California's transportation sector is the
8 largest source of greenhouse gas emissions, accounting
9 for about 38 percent of the State's greenhouse gas
10 emissions.

11 Emissions from the industrial sector are about
12 27 percent and includes emissions associated with oil
13 refineries.

14 By comparison, electricity generation accounts
15 for about 20 percent of the State's greenhouse gas
16 emissions, although it's not shown here as a discrete
17 category. Close to half of those emissions are from
18 out-of-state power consumed in California.

19 The residential and commercial sectors account
20 for about 27 percent of emissions. This includes both
21 fossil fuel consumed on site, such as natural gas or
22 propane for heating, and the emissions associated with
23 the electricity consumed in existing buildings. For
24 example, for lighting, appliances and cooling.

25 Looking at California's share of commercial and

1 residential buildings account for nearly 70 percent of
2 electricity consumption and 55 percent of its natural
3 gas consumption.

4 Most existing buildings have cost-effective
5 opportunities for improving their energy performance.
6 About half the existing buildings were built before the
7 State's building design and construction standards
8 included any energy efficiency requirements.

9 So, a focus on the existing building stock, with
10 its large potential to reduce current levels of energy
11 usage is needed.

12 Assembly Bill 758, by Assembly Member Skinner,
13 recognized the need for California to address climate
14 change through reduced energy consumption in existing
15 buildings. It directed the Energy Commission to develop
16 a plan to achieve cost-effective energy savings in
17 California's existing residential and nonresidential
18 buildings, and report on implementation in the IEPR.

19 The Energy Commission adopted the final existing
20 Buildings Energy Efficiency Action Plan in September of
21 2015. And one of the strategies of the plan is to
22 enhance government leadership in energy and water
23 efficiency, such as leading by example to improve the
24 efficiency of public buildings, developing a new
25 statewide benching and disclosure program, encouraging

1 government innovations and supporting the state and
2 federal develop of new Plug Efficiency Standards.

3 Another strategy is to provide building owners
4 and their agents easy access to the building energy-use
5 data that are needed for improved decision making.

6 Advance high quality building upgrades and
7 increased financing options is another strategy.

8 Efforts must activate efficiency markets to truly
9 compete with other energy supplies.

10 The action -- excuse me, the Action Plan
11 provides a ten-year framework to help achieve greenhouse
12 gas reduction goals, and help consumers save money and
13 enjoy more comfortable homes through energy efficiency.

14 Another important mechanism for advancing energy
15 efficiency as the lowest cost energy use source option
16 is through utility programs. The CPUC oversees the
17 energy efficiency programs of the Investor-Owned
18 Utilities, while the Publicly-Owned Utilities regulate
19 their own energy efficiency programs.

20 SB 350 will expand the types of efficiency
21 programs available, while also tying incentive payments
22 to measurable efficiency results.

23 Energy efficiency upgrades in California schools
24 are being realized as a result of funding available from
25 the Clean Energy Job Act, or Proposition 39. The Act

1 funds eligible energy measures, such as energy
2 efficiency upgrades and clean energy generation at
3 schools. The Energy Commission is primarily responsible
4 for administering Proposition 39 for Kindergarten
5 through 12th-grade schools.

6 For newly constructed low-rise homes, the State
7 is steadily moving toward implementing zero-net energy
8 buildings for 2020, in which energy efficiency is part
9 of an integrated solution.

10 Outstanding issues remain, however, including
11 identification of compliance pathways and on-site
12 renewable generation is not feasible, and the
13 appropriate role of natural gas.

14 To meet California's energy needs, the State is
15 increasingly working to de-carbonize the electricity
16 sector. As I noted previously, SB 350 codified the
17 Governor's goal for California to serve half its
18 electricity from renewable resources by 2030.

19 A challenge to achieving the 50-percent
20 renewable goal is integrating intermittent renewables
21 into the grid and addressing over-generation that occurs
22 at specific times of day when generation exceeds demand.

23 This can be addressed through an integrated
24 portfolio that includes increased energy efficiency,
25 demand response, time-of-use rates, storage, a greater

1 diversity of renewable resources and transportation
2 electrification.

3 Also, a key solution to integrating increased
4 renewables is through a more regional grid. A step
5 toward this is the real-time imbalance market, energy
6 imbalance market or EIM, established by the California
7 Independent System Operator to balance supply and demand
8 in real time.

9 Scheduling the near goals in smaller time
10 integrals can reduce the amount of reserves needed and
11 allows for more up to date forecasting of resource needs
12 and availability. This map shows the entities that have
13 joined or plan to join the EIM.

14 Further, SB 350 paves the way for voluntary
15 transformation of the California Independent System
16 Operator into a regional organization. A report
17 released the day after the draft IEPR was posted showed
18 that combining the grids of PacifiCorp and the
19 California ISO could reduce energy costs by billions of
20 dollars and help states meet their environmental goals.

21 It's likely to reduce greenhouse gas emissions
22 through coordinated planning and reduce curtailment of
23 renewable generation.

24 As the grid becomes increasingly regional,
25 strategic transmission investments are needed to link

1 our extensive renewable resources to load centers.
2 Transmission planning processes will need to be
3 streamlined and coordinated to ensure the siting,
4 permitting and construction of the most appropriate
5 transmission projects takes proper consideration of
6 renewable energy potential, land use and environmental
7 factors.

8 Lessons from the Renewable Energy Transmission
9 Initiative, the Desert Renewable Energy Conservation
10 Plan, local planning efforts, other planning renewable
11 processes and scientific studies have brought important
12 insights to the environmental and operational
13 implications of the evolving regional electricity
14 system.

15 The Energy Commission, the California Public
16 Utilities Commission and the California ISO have
17 initiated the RETI 2.0. This process will consider the
18 relative potential of various renewable energy resources
19 and to explore the associated transmission
20 infrastructure with an open and transparent stakeholder
21 process.

22 Developing a ten-year forecast of electricity
23 consumption and peak electricity demand is a fundamental
24 part of statewide electricity infrastructure planning.
25 The Energy Commission, the CPUC, and the California ISO

1 are continuing their commitment to consistently use a
2 single forecast set in each of their planning process,
3 as first implemented through the 2013 IEPR.

4 The 2015 preliminary forecast recognizes the
5 importance of energy efficiency and includes estimated
6 impacts from energy efficiency programs administered by
7 the Investor- and Publicly-Owned Utilities.

8 The 2015 preliminary forecast also incorporates
9 anticipated changes in demand due to climate change,
10 photovoltaic self-generation, electric vehicles and
11 other factors.

12 The 2015 preliminary forecast results show
13 slightly lower growth for electricity consumption
14 compared to the forecast from the 2014 IEPR update.

15 The final forecast will be presented at a
16 workshop in early December and will be included in the
17 final IEPR. It will include projected additional
18 achievable energy efficiency savings for both Investor-
19 and Publicly-Owned Utilities to develop a managed
20 forecast for planning purposes.

21 The Energy Commission also assesses natural gas
22 demand, supply, price and infrastructure needs as part
23 of resource planning. These assessments also have
24 cross-cutting purposes. For example, the natural gas
25 price is an important input into the State's Building

1 Energy Efficiency Standards to evaluate the cost
2 effectiveness of proposed efficiency measures.

3 The revised natural gas outlook will be a topic
4 of our workshop on November 3rd.

5 Natural gas may provide a lower carbon fuel
6 source when compared to other fossil fuels used for
7 electricity generation or transportation. However,
8 recent studies indicate that methane leakage could
9 reduce the climate benefits of switching to natural gas.
10 Many research efforts are aimed at better understanding
11 the leakage rates and these tradeoffs.

12 Consistent with the requirements of Assembly
13 Bill 1257, this IEPR includes highlights from the report
14 on Strategies to Maximize the Benefits Obtained From
15 Natural Gas as an Energy Source.

16 The report covers pipeline safety, natural gas
17 for electric generation, combined heat and power,
18 natural gas as a transportation fuel, and use
19 efficiency, low-emission biomethane, and greenhouse gas
20 emissions associated with the natural gas system.

21 Turning next to transportation, the
22 transportation sector has a key role to play in
23 addressing climate change as it accounts for about 38
24 percent of the State's greenhouse gas emissions.

25 The Governor has released several executive

1 orders easing the transition to a low carbon
2 transportation future.

3 Further, a suite of policies and programs are in
4 place to support the Governor's goal of a 50-percent
5 petroleum reduction by 2030, including Zero Emission
6 Vehicle Mandate, the Low Carbon Fuel Standard, the Cap
7 and Trade Program, and the Energy Commission's
8 Alternative and Renewable Fuel and Vehicle Technology
9 Program.

10 As part of the Energy Commission's energy
11 planning efforts, the draft IEPR includes preliminary
12 transportation energy demand forecasts through 2026.
13 The transportation demand forecast relies on several of
14 the same key economic and demographic inputs as the
15 electricity and natural gas forecasts. These help
16 determine the amount of travel and fleet size.

17 Other notable parts of the transportation
18 forecast include vehicle populations by fuel type,
19 gasoline, diesel, alternative fuel demand, the impact of
20 high-speed rail on electricity consumption, and vehicle
21 jet fuel demand.

22 We expect to release a revised forecast for the
23 transportation sector in November, for a public workshop
24 later in the month -- later in that month.

25 This IEPR also includes updates on nuclear

1 energy, electricity reliability in Southern California,
2 and crude oil transported by rail. Beginning with
3 nuclear, the decommission of San Onofre Nuclear
4 Generating Station is underway. A key issue that has
5 emerged since the permanent closure of San Onofre is the
6 long-term safety and security of the spent nuclear fuel
7 that will remain on site for an indeterminate amount of
8 time.

9 Diablo Canyon Units 1 and 2 are operating under
10 their original licenses, which are set to expire in 2024
11 and 2025, respectively. Several factors create
12 uncertainty as to whether Diablo Canyon will continue to
13 generate power in the long term. One important factor
14 is the safety of the facility to withstand potential
15 earthquakes, as well as tsunamis and flooding. The cost
16 of compliance with the State Water Resource Control
17 Board's once-through cooling policy is another issue, as
18 is the management of spent fuel.

19 The Energy Commission will continue to monitor
20 Federal Nuclear Waste Management Program activities and
21 support Federal efforts to develop a long-term waste
22 management solution.

23 While the impending retirement of several -- or
24 with the pending retirement of several fossil-powered
25 facilities that use once-through cooling and the closure

1 of San Onofre in Southern California, ensuring the
2 region's electricity system reliability has been a major
3 focus in the IEPR since 2011.

4 Some of the reactive power that was supplied by
5 San Onofre has been replaced with transmission upgrades
6 approved by the California ISO in its annual
7 transmission planning process. This has reduced the
8 amount of new generating capacity that needs to be
9 located close to the load and, thus, increased the
10 flexibility in locating additional resources.

11 Some local capacity is still required, however,
12 due to the limitations of the existing transmission
13 system.

14 An interagency team, with members from the
15 Energy Commission, CPUC, California ISO and the Air
16 Resources Board closely follow the development of
17 preferred resources, conventional generation capacity
18 additions and transmission upgrades that are needed to
19 ensure reliability in the area.

20 Because resources margins are tight, the group
21 is developing contingency plans in case development does
22 not continue as planned. Close attention to local
23 reliability issues will continue.

24 Due largely to advances in drilling techniques,
25 in April 2015 U.S. oil production reached the highest

1 level since April 1971. As outlined in the 2014 IEPR
2 Update, this large increase in crude oil production
3 surpassed the amount -- excuse me, surpassed the ability
4 of the existing crude oil pipeline and distribution
5 infrastructure to keep pace. Thus, transport of oil by
6 rail rapidly increased in 2014.

7 Over the last 18 months, however, additional
8 pipeline capacity has come on line and oil transport
9 declined. Whether the crude-by-rail imports to
10 California will rise over the next few years depends on
11 the number of receiving facilities that are ultimately
12 approved and built within the State.

13 There have been several safety-related
14 regulation updates since the 2014 IEPR update. Most
15 notably, regulations finalized in May 2015 by the
16 Pipeline and Hazardous Materials Safety Administration
17 placed slower speed restrictions on trains transporting
18 oil or ethanol. Also, such rail cars are now subject to
19 more stringent construction standards.

20 The rapidly changing trends in crude oil sources
21 and transport highlight the need for additional data at
22 the State level to follow extraction, transportation and
23 distribution trends and determining resulting
24 implications.

25 The draft IEPR also focuses on the impacts of

1 California's drought and the connection between water
2 and energy. California has a relatively modern fleet of
3 thermal power plants and the vast majority of those
4 built since 2004 use dry cooling or recycled water.

5 Still, the drought impacts California's
6 hydroelectric production and raises questions about the
7 reliability of water supplies for thermal power plants
8 that do rely on water for cooling.

9 Consequently, staff identified the water supply
10 of 100 thermal power plants to identify those at risk.
11 The draft IEPR also includes details on the Energy
12 Commission's activities in support of water
13 conservation, such as the recently adopted Water
14 Appliance Efficiency Standards, as well as highlights
15 and key lessons from the multi-agency workshop on
16 California's Drought, held here at the Energy Commission
17 on August 28th.

18 Finally, climate change research specific to
19 California's energy sector is critical to supporting our
20 mid- and long-term climate and energy goals. The Energy
21 Commission continues to be a leader in conducting
22 cutting edge research.

23 Impacts to California's energy system from
24 climate change include increased risk from extreme
25 weather events, including flooding and drought,

1 increased wildfires, changes in hydropower resources and
2 sea level rise.

3 The types and severity of impacts vary across
4 the electricity, natural gas, and petroleum sectors and
5 vary geographically. For example, research shows risks
6 to the natural gas infrastructure in areas impacted by
7 subsidence caused by groundwater overdraft.

8 Areas for future research specific to the energy
9 system include the development of improved climate and
10 sea level rise scenarios, improve methods to estimate
11 greenhouse gas emissions, development of advanced
12 methods to simultaneously consider mitigation adaptation
13 and detailed local and regional studies.

14 Additional research is needed to help make
15 California more resilient to climate change and to
16 reduce greenhouse gas emissions.

17 So, that concludes my presentation on the
18 report. And as we discussed, written comments are
19 welcome and due on November 10th.

20 And, ultimately, we plan to put out a revised or
21 a final draft IEPR at the end of January, for possible
22 adoption in February.

23 And with that, I'll turn it over to Commissioner
24 McAllister.

25 COMMISSIONER MC ALLISTER: So, right now I only

1 have one blue card. I see another one's coming up, it
2 looks like.

3 I want to welcome Commissioner Douglas to the
4 dais. I wonder if you have any comments?

5 COMMISSIONER DOUGLAS: Thank you. I'll skip
6 opening comments at this point.

7 COMMISSIONER MC ALLISTER: Okay, okay. Okay,
8 for sure.

9 Oh, a few more, actually. Here we go. Okay,
10 great. So, we'll go to some blue cards.

11 Is there anybody on the phone, just as an FYI?
12 Or, on the WebEx? There are. Okay, great.

13 So, Commissioner Douglas, feel free to chime in
14 on any -- it's been really -- actually, I have to just
15 say it's been really great to have across-the-board
16 participation in the IEPR from all the Commissioners.

17 And as Chair Weisenmiller said, leads on various
18 issues from the other agencies, State and Federal. So,
19 it's been really quite a robust set of workshops.

20 So, first blue card Mark Krausse, PG&E.

21 MR. KRAUSSE: Good morning, Commissioners, Mark
22 Krausse on behalf of Pacific Gas & Electric Company.

23 I'm sure I'll be -- I'm glad to be the first to commend
24 you on the good work of you and your staff. And

25 appreciate and remember from some nine years ago, when

1 Mr. Geesman was sitting up on the panel. You've got a
2 new conference room to me, and I have new glasses, so
3 I'm going to try not to read these comments.

4 But very impressed with the work that staff has
5 done on the draft IEPR. And wanted to be here to say we
6 support many of the recommendations.

7 PG&E supported, as you know, SB 350 and support
8 the goals for RPS, for energy efficiency. Glad to see
9 AB 802 signed.

10 And so, touching on some of the things that we
11 see in the report that we really do support, as I say,
12 renewables goals in the transportation area,
13 electrification and natural gas where that fits for
14 transportation uses.

15 We are also very glad to see the emphasis on
16 drought and adaptation. PG&E does a great amount of
17 work on adaptation, in particular, about making sure
18 that our infrastructure is in place and withstands sea
19 level rise and other factors that we're going to be
20 looking at.

21 The one issue that I do want to raise to your
22 attention is a tone, perhaps, in the section on nuclear,
23 where the Cal-ISO is quoted as saying that Diablo Canyon
24 could be done without provided the Governor's
25 renewable -- pardon me, the PUC's Renewable Portfolio

1 Plan goes as planned.

2 I think any resource on the grid could be done
3 without. And that is the purpose of Cal-ISO's planning
4 and of each of the utilities' resource planning.

5 One thing that I think Cal-ISO had contacted
6 staff to correct is that they will not be doing the look
7 at vulnerability and, in particular, modeling Diablo out
8 this year. I think that was done in the past but that's
9 not -- doesn't happen to be something that they're
10 looking at in this round.

11 And then also in that context, the E3 Pathway
12 study was cited as saying, you know, you could do
13 without Diablo Canyon and still realize the GHG goals
14 that the Governor has.

15 Again, I think you could do without any of the
16 resources and you have to double down in other areas.

17 What the report doesn't cite and unless -- you
18 know, we would suggest that language either needs to be
19 removed, softened, put in context, but if it remains as
20 it is, I would urge the Commission to also cite E3's
21 assumption that 16,000 megawatt hours of natural gas-
22 fired generation come into replace Diablo Canyon
23 beginning in 2025.

24 To put this in context, we're looking at between
25 six and seven million metric tons, just under half of

1 the LCFS program measure. I mean, we're talking about a
2 huge amount of carbon.

3 So, it certainly could be replaced with
4 renewables, but at a time when we're trying to get the
5 50-percent goal in the first place, I think that would
6 be a challenge that's unnecessary.

7 So, keeping that baseload, zero GHG resource I
8 think would be key.

9 And that's it. Again, we support the report
10 overall. Those were just some places where I think more
11 of the story needs to be told with regard to the GHG
12 impact. Thank you.

13 COMMISSIONER MC ALLISTER: Thanks for your
14 comments, appreciate your being here.

15 Christopher, let's see, Ellison, from Duke
16 American Transmission.

17 MR. ELLISON: Good morning, Commissioners,
18 Christopher Ellison, Ellison, Schneider and Harris, for
19 Duke American Transmission Company.

20 I want to join -- DATC wants to join PG&E in
21 commending the Commission and the staff for an exemplary
22 draft IEPR. And across many of the topics that you have
23 identified already this morning, DATC strongly supports
24 this draft.

25 And in particular, it strongly supports the

1 draft with respect to transmission. Now, transmission
2 was not a central focus of this report. But it is, as
3 this report acknowledges, a key element in achieving
4 many of the things that are a central focus and, in
5 particular, the Governor's climate change goals.

6 The policies that are articulated in this report
7 I think accurately reflect a fairly broad consensus
8 among not just DATC's extensive comments, but the
9 comments of NRDC, Southern California Edison, and a
10 variety of other stakeholders who have recognized the
11 need for many of the proposals put forward in this
12 report. And I think the report will, therefore, be
13 received with considerable enthusiasm. Perhaps not by
14 everyone, but by most people, and certainly by DATC. So,
15 thank you for all of those efforts.

16 The question now becomes are these policies
17 going to be implemented? And the Commission is moving
18 forward with RETI 2.0, which DATC is participating in
19 and fully intends to support.

20 The Governor's Office is moving forward with the
21 San Joaquin Valley Solar Convening, which DATC is
22 participating in and fully supports. And these are --
23 these, among other forums, are places where these
24 policies can be implemented. And, certainly, they can
25 be implemented at the ISO, and in the Commission, and

1 the State's transmission planning process overall.

2 Of particular concern to DATC, however, is
3 whether these policies can be implemented in time to
4 address the poster child of right-sizing in California,
5 which is the San Luis Transmission Project. And as you
6 know from the comments that we've already submitted, the
7 San Luis Transmission Project is a Federal Government
8 transmission project, a 62-mile project from Tracy to
9 Los Banos. It consumes the last available transmission
10 corridor space in the existing corridor.

11 And the Federal Government only needs a 230-
12 megawatt project -- I'm sorry, kilowatt project. DATC
13 and others have proposed that it be right-sized to 500
14 kB. The window of the Federal Government for making
15 that decision is next May.

16 And so, whether the policies that have been
17 articulated in your draft, which we think are the right
18 policies and we think if applied to the San Luis
19 Transmission Project would support it, may not be
20 implemented in time for the real-world decision that
21 confronts the State with respect to probably the leading
22 right-sizing issue before you.

23 So, we are hopeful that you will work with the
24 other agencies to avert that result and we stand ready
25 to help you do that. Thank you very much.

1 COMMISSIONER MC ALLISTER: Thanks for your
2 comments and appreciate your being here.

3 John Geesman, Alliance for Nuclear
4 Responsibility.

5 MR. GEESMAN: Thank you, Commissioner
6 McAllister. And let me, too, congratulate you on what I
7 would have to say is a more polished work product than
8 I'm accustomed to seeing at the draft stage.

9 I wanted to respond, briefly, to Mark's
10 comments. I actually thought you set a pretty good
11 context for the role Diablo Canyon plays, both in the
12 State's electricity reliability and the State's evolving
13 climate change policies.

14 And I would suggest if you're inclined to dig a
15 little bit deeper, as he recommended, that you turn to
16 some of the ISO staff presentations in their August
17 workshops in developing a flexible capacity product.
18 One of the striking slides the ISO staff has used said,
19 you know, we were previously looking for more flexible
20 capacity. But, perhaps, the paradigm needs to be
21 changed. We've got too much inflexible capacity to
22 properly address California's future needs as more and
23 more intermittent supplies come on to the system.

24 Let me address SONGS, briefly, before turning to
25 Diablo Canyon. One thing the report says is that Edison

1 plans to complete decommissioning in 20 years. I think
2 that's focused on a subset of decommission. The
3 decommissioning will not be complete until all of the
4 spent nuclear fuel is removed from the site. And it's
5 important to keep that foremost in mind. For 40 years
6 this Commission has been at the heart of the spent fuel
7 policy debate in this country. And it doesn't look as
8 if that debate is getting any easier.

9 San Onofre, for better or for worse, is a
10 primary focus of it. Edison currently plans to have
11 fuel removed by 2049, decommissioning completed in 2051.
12 But that is in direct contradiction to the assumptions
13 used in the NRC's generic environmental statement, which
14 your report references.

15 The NRC evaluated a short-term, 60-year storage
16 period, a medium-term, 160-year period, and a long-term
17 to infinity and beyond. And I think that it's important
18 to recognize from a legal stand point the
19 decommissioning trust has an obligation to fund spent
20 fuel storage until it is taken off site and your report
21 ought to focus on that.

22 A second item regarding San Onofre, the report
23 indicates that California will demand that the site be
24 restored to its original condition at the end of
25 decommissioning. I think that is an important policy

1 and you need to reiterate that more forcefully.

2 Currently, Edison is attempting to avoid the
3 subsurface removal requirements of debris that are
4 contained in the Navy lease. It's important and I think
5 the State made very clear that it wants no part of that.
6 And the fundamental principle of taking your trash off
7 the beach is one that you will adhere to.

8 Regarding Diablo Canyon, the concern that I
9 would raise starts with spent fuel management. I want
10 to congratulate you in the progress that you made in
11 persuading Edison to remove spent fuel to dry casks as
12 rapidly as practicable.

13 As you mention in the report, the Public
14 Utilities Commission imposed the same requirement on
15 PG&E in its last general rate case. PG&E is supposed to
16 come up with a plan that satisfactorily complies with
17 your recommendation, dating back to 2008, to accomplish
18 that transfer.

19 Your report mentions the PG&E testimony. If you
20 go to the work papers behind the testimony for the
21 detail of that plan, you will see what I believe is a
22 raised middle finger toward that recommendation, in
23 which PG&E says this is none of your jurisdictional
24 business. PG&E operates under Federal requirements.
25 The State has no role.

1 I think, because of the way in which the PUC has
2 phrased the question of a satisfactory compliance, your
3 report is going to have to address whether you consider
4 PG&E's response satisfactory or not. And I would submit
5 the four-to-one ratio that they reference -- or that the
6 report references and attributes to PG&E is exactly the
7 problem that precipitated your recommendation, in 2008,
8 that they begin to accelerate that transfer.

9 And Chair Weisenmiller will remember, it was
10 actually 2005 when you had workshops in this very room
11 with Allison McFarland strongly recommending the
12 importance of that rapid transfer.

13 Regarding seismicity, I think that you should
14 acknowledge some of the difficulties that the
15 Independent Peer Review Panel has had in gaining access
16 to the PG&E studies. Most particularly, the omission of
17 the deterministic analysis of joint ruptures at Diablo
18 Canyon.

19 PG&E assigned an 8.0 magnitude earthquake to a
20 joint rupture between the Hosgri and Shoreline faults,
21 between the Hosgri and San Luis Bay faults, and between
22 the Hosgri and San Luis -- or, excuse me, Los Osos
23 faults. It indicated that that was not of much concern.
24 And this is the first time PG&E has ever publicly
25 acknowledged, because magnitudes above 6.5 don't really

1 create any additional ground motion.

2 Well, that may be true in the international data
3 for long-distance earthquakes. But at Diablo Canyon the
4 seismic risk is 2 kilometers away from the Shoreline
5 fault, less than 5 kilometers away from the Hosgri
6 fault, about 2 kilometers away from the San Luis Bay
7 fault, and slightly under 10 kilometers for the Los Osos
8 fault.

9 The data sets that support a magnitude
10 saturation phenomenon arguably do not apply to short-
11 distance, large magnitude earthquakes because there
12 simply is no data on that.

13 And I think your report ought to touch upon
14 whether or not you agree with the underlying assumption
15 and also what you think of the fact that those
16 deterministic analyses were not included.

17 Another thing that was not included in the
18 report, that you've been asking for since 2008, is an
19 analysis of a blind thrust rupture, ala San Simeon,
20 directly beneath the Diablo Canyon plant.

21 PG&E came back, in its report, and said, well,
22 we've done that analysis on a probabilistic basis below
23 the Irish Hills. You said, in 2008, that wasn't
24 sufficient. You wanted a deterministic analysis
25 directly below the plant.

1 I think it's important that you insist that the
2 seismic studies that the ratepayers have actually
3 committed \$64 million to, be properly completed and
4 properly reviewed by the Independent Peer Review Panel.

5 I recognize the delicacy of criticizing one of
6 the principle allies of the Governor's climate crusade.
7 But history will show that the most productive alliances
8 come from those where the parties, in a mature way, are
9 able to be candid with each other.

10 And I would strongly suggest that you apply some
11 of that candor to PG&E with regard to Diablo Canyon.
12 Thank you very much.

13 COMMISSIONER MC ALLISTER: Thank you, Mr.
14 Geesman. And, you know, I'm going to obviously
15 encourage you and all of you to submit written comments.
16 You know, with Commissioner Geesman sometimes I feel
17 like that's just sort of a transcript, you could just
18 take it and submit it because it's very well constructed
19 almost always. Really, always, without fault.

20 So, I appreciate your being here and your
21 substantive comments and certainly look forward to the
22 written.

23 Ben Davis from the California Nuclear
24 Initiative.

25 MR. DAVIS: Commissioners, thank you very much

1 for this opportunity to participate in these
2 proceedings. I'm Ben Davis, Jr.

3 I attended the meeting of the Independent Peer
4 Review Panel before the Public Utility Commission
5 several months ago. And the issue that I brought up
6 concerned not the Independent Peer Review Panel's
7 oversight of the seismic studies that are going on but,
8 instead, the fact that nobody is overlooking a claim
9 that PG&E made that has undermined, largely, these
10 seismic studies.

11 PG&E has claimed that the nuclear plant, itself,
12 can handle the .8 G's that it has admitted the plant
13 could be subjected to, which is also controversial
14 because the Independent Peer Review Panel has said, .8
15 G's, they have not convinced us that that is the limit
16 to what it could be subjected to.

17 But they said, also, that the plant could handle
18 up to 35 percent ground shaking than .8 G's. They could
19 handle up to 1.34 G's. They have insinuated, and if you
20 look at their websites, they even make it clear that
21 this claim is part of the SSHAC process and has been
22 independently peer reviewed. In fact, that's not the
23 case. They've misled the public in suggesting that this
24 study was peer reviewed or part of the SSHAC process.
25 It is not.

1 I had to ask the Independent Peer Review Panel
2 for information on this to find out that, in fact, it
3 was not part of the SSHAC process at all. And this
4 claim is apparently based on a study from 1991, only,
5 and there's not been any updates on it at all.

6 When I found out that this had been claimed I
7 said, well, how, what has caused this rise in the claim
8 of ground shaking response of the plant. It's been said
9 for many years that the plant could handle .75 G, and
10 that's what the NRC has told me.

11 What all of a sudden raised it to 1.35 G? And I
12 asked, has the plant been retrofitted? Are there new
13 models? What is the basis of this claim?

14 Well, it appears and I can't get straight
15 answers thus far from PG&E or the NRC on this, it
16 appears that it's all based on a 1991 study, which is
17 potentially based on the 1988 study from which the first
18 claim was made that .75 G's is what the plant can
19 handle.

20 What I brought up at the Independent Peer Review
21 Panel meeting, at the Public Utility Commission, was
22 that this also needs to be independently peer reviewed.
23 In fact, the legislation that brought about the
24 Independent Peer Review Panel appears to say that,
25 itself. It's not asking them just to independently peer

1 review the ground shaking or the earthquake potentials
2 at Diablo Canyon, it also clearly anticipates the plant
3 response. But not -- it doesn't state it so clearly
4 that the Independent Peer Review Panel thought that was
5 part of their jurisdiction. In fact, they don't even
6 have the expertise, according to Chris Will, to do that.

7 So, I would suggest that as part of this IEPR
8 one of your recommendations is that this oversight be
9 rectified. In fact, independently peer reviewing the
10 ground shaking, without independently peer reviewing the
11 plant response, basically, PG&E has found an end-run
12 around that that has made the plant response completely
13 the crux of the matter. So, I'd like to see the IEPR
14 have that recommendation in it.

15 I asked PG&E, because of the controversy about
16 the .8 G's that they say the ground shaking could be
17 caused at Diablo Canyon, and the fact that the
18 Independent Peer Review Panel has not been convinced of
19 that, what if the world model was used instead of the
20 ground shaking, the SSHAC process has shown?

21 And they told me that 1 G is ground shaking that
22 would be normally at a plant if the world model is used.
23 I think that should also be included in your report
24 because that is about twice the ground shaking that
25 Fukushima experienced. And I think that's an important

1 fact to get before the public.

2 The third thing I'd like to see included, that
3 wasn't included, I believe Mr. Geesman referred to this
4 also, is that in Michael Picker's letter he raises the
5 question of whether or not Diablo Canyon could over-
6 generate and cause problems in competing with other
7 forms of electricity.

8 You never really fleshed that out in the report.
9 I asked your staff some questions about it and they
10 explained it to me more clearly. I think that their
11 response to my questions should also be included in this
12 report.

13 Thank you very much for your time.

14 COMMISSIONER MC ALLISTER: Thanks for being
15 here. And, again, look forward to your written
16 comments.

17 I guess, given the fact that the last couple of
18 speakers have had significantly more than three minutes,
19 maybe if Mr. Krausse, or if you want to have any more
20 time on the podium or just we can all rely on written
21 comments from here on out. Okay, great.

22 I think that's it for blue cards, unless there's
23 another one that has not been submitted. And if not --
24 okay, there's one more commenter in the room. Please,
25 do come up and give us your contact info.

1 MR. KENNY: Hi, good morning. My name is Ryan
2 Kenny with Clean Energy. We're the nation's largest
3 provider of natural gas, renewable gas transportation
4 fuel.

5 Just wanted to add a note for the record and
6 we'll add these for our working comments, as well, about
7 the transportation section. That we don't feel that you
8 can reach any of the greenhouse gas reduction goals or
9 even the 50 percent reduction in petroleum goals without
10 the use of natural gas or renewable natural gas.

11 And as you may have heard, CARB recently, just a
12 few weeks ago did certify a .02 NOx, actually, a .01 NOx
13 engine that we believe is a game changer here, in
14 California. And it will not just reduce greenhouse gas
15 emissions, but it will also go towards reducing NOx,
16 short-lived climate pollutants, regional -- and go
17 towards regional attainment standards and other goals.

18 So, we'd love to have that be part of the record
19 and part of the conversation going forward. And thank
20 you for your time.

21 COMMISSIONER MC ALLISTER: Thanks for being
22 here.

23 Okay, with that I guess we'll move on to the
24 WebEx and phone.

25 MS. RAITT: So, we have one person on WebEx,

1 Carla Viswanathan. I'm not sure how to pronounce that,
2 sorry.

3 MS. VISWANATHAN: Hello. Yes, this is Carla
4 Viswanathan, representing the Natural Resources Defense
5 Council, NRDC.

6 NRDC commends the Commission for drafting a
7 well-written, thorough and comprehensive IEPR report.
8 We plan to submit formal comments on the demand
9 forecast, energy efficiency and transmission, among
10 other items.

11 In particular, we look forward to working with
12 the Commission and the Demand Analysis Working Group to
13 ensure that estimates of doubling energy efficiency
14 match the intent of SB 350.

15 Thank you for the opportunity to comment and we
16 look forward to submitting our written comments. Thank
17 you.

18 COMMISSIONER MC ALLISTER: Great. Thanks for
19 listening and commenting, and looking forward to your
20 written comments as well.

21 Anyone else?

22 MS. RAITT: I think that's it. We can try
23 opening up the phone lines. There's a lot of people on
24 the phone lines, so if we want to make comments, we can
25 try to do that. If you're not making comments, please

1 mute your line.

2 MR. UHLER: Steve Uhler would like to make a
3 comment.

4 MS. RAITT: Okay, hold on one moment, please.
5 Go ahead, Steve, thank you.

6 MR. UHLER: Yeah, hello, I'm Steve Uhler. I'm a
7 California citizen. My first comment would be related
8 to the 286 missing docket files that I haven't gotten
9 word back on, in order for me to properly comment on the
10 IEPR.

11 Other items would be Chairman Weisenmiller spoke
12 before the Senate Utility Committee on Energy Efficiency
13 about families of models that you've been using since
14 the 70s, and datasets that might go with those models.

15 I'm trying to find anything that would even
16 indicate that those exist.

17 QFER database is supposedly one of your more
18 accurate lists of generating plants and units. I'm
19 still waiting to find out about 101 units that are --
20 don't say they're retired, but they haven't had any
21 output data put in for a number of years.

22 Those are the basic things that I'm after in
23 order to get this done. I'm wondering, you know, is it
24 going to be possible to find out the status of those 286
25 documents? Because I want to reference some of them.

1 I've actually downloaded some of them, but now I can't
2 reference them because your system returns an oddly-
3 shaped, 404 file not found return. So, I'd like to have
4 that cleared up.

5 Other items would be I'm interested in some
6 support on how to get my utility to join the imbalance
7 market. They seem to think that they can tell me that
8 they will fulfill my energy usage at 100 percent with
9 renewables, yet they don't wheel their renewables onto
10 their distribution grid.

11 And in Sacramento we kind of consider a self-
12 farm to fork. Well, that's a little bit like me
13 ordering an organic meal and somebody else eating it
14 while they give me fast food.

15 So, something needs to be done about this notion
16 that you can say that you have these renewables. Some
17 of them, a fair, a significant portion of the wavelength
18 of the power system away, like New Mexico, yet they only
19 wheel it to the California border.

20 So, I'm looking for anybody who can help me with
21 that situation and in figuring any of this stuff out.

22 Another area that is under-represented is real-
23 time monitoring. I am looking right now, and I'm
24 looking at 60 watts is all my house is drawing. And,
25 actually, I have a needle out here and it tells me that

1 that energy was matter about eight minutes ago, 93
2 million miles away.

3 And I've found it very handy for me to make all
4 the decisions I need to do to take my 100-year home, old
5 home and bring it well within the 2050 goal. As well as
6 a 35-year-old home that's all-electric to be powered by
7 nuclear has done the same.

8 And those were both done with real-time
9 monitoring, which does not exist. My utility is SMUD
10 and the device that they seem to claim that will do that
11 is no longer sold. Probably because of the battery
12 charging standard. The device doesn't even meet their
13 spec.

14 My device has an audible alert. Every time I
15 cross a kilowatt in demand it beeps at me. Very handy.

16 So, I need -- you guys need to do more to see
17 that there are standards for the renewable -- or the
18 real-time monitoring devices that should be part of the
19 advanced metering infrastructure.

20 The rest of this I'll hand off in the comments.
21 And, particularly, Weisenmiller's comment about the
22 family of models and the data that supports that. Thank
23 you.

24 COMMISSIONER MC ALLISTER: Thanks for your
25 comments. I want to just alert the Public Adviser and

1 invite you to contact the Public Adviser. Or,
2 hopefully, you can give us your contact information and
3 connect with them and they can, hopefully, facilitate
4 the receipt of the data that you're looking for from the
5 docket.

6 And thanks for your other comments, good stuff.
7 It sounds like you may have a community organizing task
8 on your hands to get SMUD to join the ISO or something
9 like that. You know, it takes a village sometimes. But
10 thanks for listening in and your engagement.

11 MR. UHLER: Am I still on the line?

12 COMMISSIONER MC ALLISTER: You are.

13 MR. UHLER: Okay.

14 COMMISSIONER MC ALLISTER: You've used up your
15 three minutes but, yeah.

16 MR. UHLER: I have contacted the Public Adviser.
17 I have contacted all of the routes on your website to
18 get these missing documents cleared up. So, I've
19 already done that. And I am actively trying to get SMUD
20 to join the Cal-ISO, like the Legislature says. So,
21 I've already done those things.

22 COMMISSIONER MC ALLISTER: Okay. Well, great, I
23 guess --

24 MR. UHLER: Now, I'm looking for you folks to do
25 your part. Thank you.

1 COMMISSIONER MC ALLISTER: Well, the Public
2 Adviser is the route that we need to do that. If the
3 Public Adviser's Office needs to connect more robustly
4 or actively with staff, then I think that's the next
5 step it sounds like.

6 MR. UHLER: Okay, see that it's done. See that
7 it's done because I have done my part. Thank you.

8 COMMISSIONER MC ALLISTER: Great. Thanks for
9 your call.

10 Anybody else on the phone?

11 MR. NESBITT: Yes, I have comments.

12 MS. RAITT: Go ahead.

13 MR. NESBITT: Yeah, George Nesbitt, HERS Rater.
14 The 50-percent renewable goal is a little bit more than
15 a 50-percent increase above the current 30-percent goal.

16 The reduction in petroleum use for
17 transportation is a 50-percent reduction in petroleum
18 use.

19 Everything I've read in the media and can find
20 from the Governor's goal was that for energy efficiency
21 it was also a 50-percent reduction in energy use. Not a
22 50-percent increase in our savings goal. And those two
23 are very different things.

24 And considering buildings consume close to a
25 third of our greenhouse gases, a 50-percent reduction is

1 more in line with where we need to be to get to large
2 greenhouse gas reductions.

3 I find the IEPR, honestly, quite lacking in a
4 lot of ways. I don't think the IEPR acknowledges the
5 role that the HERS Rater has played, has increasingly
6 been asked to play, and will increasingly be asked to
7 play in energy efficiency, in the building code, the
8 energy code, the REACH code, and in utility rebate
9 programs.

10 We have provided -- we bring a lot of
11 credibility to claims of energy efficiency.

12 Also lacking is sort of the vision that the HERS
13 Rater plays a role in the existing building and also
14 Zero Net Energy. Nationally, over a million homes have
15 been HERS rated. Builder after builder is committing to
16 rating 100 percent of their homes. Cities, counties,
17 states have required HERS rating for energy code
18 compliance. The HERS rating system is being written
19 into the 2015 IECC, the International Energy
20 Conservation Code.

21 DOE builders challenge zero energy homes
22 recognizes the HERS rating system, including
23 California's HERS rating systems.

24 Energy Star homes, everywhere else in the
25 country, requires a HERS rating. So on and so forth.

1 And yet, in California we adopted our HERS
2 rating system in 2008. It's been in effect since 2009.
3 It's been on the ground since 2010. And we have failed
4 to require and encourage it in a single State program.
5 Not New Solar Home Partnership, utility programs, Energy
6 Upgrade California.

7 And why? We don't need to because we've allowed
8 Build It Green to have Green Point rating, which is
9 actually the HERS rating.

10 We have allowed Energy Upgrade California to use
11 the HERS rating software without producing a score.
12 We've allowed CAP to come up with a CAP score, which is
13 really the HERS rating.

14 And the Energy Commission, in the 2013 Energy
15 Code, as well in the 2016, has come up with a design
16 rating as part of the Part 11 Cal Green REACH Code,
17 which is really a HERS score.

18 So, we really need -- it's time we really
19 recognize and implement. And waiting until 2018 to
20 somehow change it and somehow, you know, then is just
21 too late. It works, sure it needs some improvement.
22 But it works today, it's been working for years. And we
23 need to recognize that and have the vision.

24 Also, one last comment, just one thing that I
25 find also lacking with the over-production of solar

1 electric during the day, in the grid, is the discussion
2 of actually load shifting and starting to use energy
3 when we have the resource, rather than relying on
4 storage alone. Thank you.

5 COMMISSIONER MC ALLISTER: Thanks for your
6 comments.

7 Anybody else on the phone? Is that it?

8 MS. RAITT: That's it.

9 COMMISSIONER MC ALLISTER: Okay, great. All
10 right, well, I think we've kind of reached the end of
11 the proceeding here.

12 Thanks everybody for coming. All of the
13 multitude on the phone please do, if you have any
14 inclination, submit your comments in written form
15 through the docket. All that information is on the IEPR
16 portion of our website.

17 Again, comments are due on November the 10th.
18 That reflects a week extension from what was originally
19 posted.

20 And we're looking forward to getting all of your
21 best thinking on the various topics of interest.

22 So, I don't really have any additional comments.
23 You know, I want to thank, again, IEPR staff.


24 Stephanie, as well as Raquel and Heather, and the whole
25 team across agencies. My staff. Charles Smith over

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of October, 2015.




Kent Odell
CER**00548

TRANSCRIBER'S CERTIFICATE

1
2
3 I do hereby certify that the testimony in
4 the foregoing hearing was taken at the time
5 and place therein stated; that the testimony
6 of said witnesses were transcribed by me, a
7 certified was under my supervision thereafter
8 transcribed into typewriting.

9 And I further certify that I am not of
10 counsel or attorney for either or any of the
11 parties to said hearing nor in any way
12 interested in the outcome of the cause named
13 in said caption.

14 IN WITNESS WHEREOF, I have hereunto set
15 my hand this 28th day of October, 2015.
16



17
18
19
20
21 Barbara Little
22 Certified Transcriber
AAERT No. CET**D-520