

DOCKETED

Docket Number:	15-ALT-01
Project Title:	2016-2017 Investment Plan Update for the Alternative and Renewable Fuel and Vehicle Technology Program
TN #:	206890
Document Title:	Transcript of 11/06/15 Meeting and Public Workshop RE: Alternative and Renewable Fuel and Vehicle Technology Program
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/8/2015 10:52:34 AM
Docketed Date:	12/8/2015

CALIFORNIA ENERGY COMMISSION

STAFF WORKSHOP

In the Matter of:) Docket No.
) 15-ALT-01
))
) Meeting and Public
) Workshop RE:
) Alternative and
) Renewable Fuel and
2016-2017 Investment Plan Update) Vehicle Technology
_____) Program

CALIFORNIA ENERGY COMMISSION

THE WARREN-ALQUIST STATE ENERGY BUILDING

FIRST FLOOR, ART ROSENFELD HEARING ROOM

(HEARING ROOM A)

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

FRIDAY, NOVEMBER 6, 2015

10:00 A.M.

Reported By: Kent Odell

APPEARANCESCommissioners

Janea Scott, Lead Commissioner for Transportation

Advisory Committee Members (* Via telephone and/or WebEx)

Steve Kaffka, University of California Davis

Claire Jahns, California Natural Resources Agency

Jack Michael, Recreational Boaters of California

Sekita Grant, Greenlining Institute

Howard Levenson, CalRecycle

Peter Cooper, California Employment Training Panel

Ralph Knight, Napa Valley Unified School District

Brian Goldstein, Energy Independence Now

Erik White, California Air Resources Board

Tim Carmichael, California Natural Gas Vehicle Coalition

Joe Gershen, California Biodiesel Alliance

Chris Shimoda, California Trucking Association

Bonnie Holmes-Gen, American Lung Association

*Eileen Tutt, California Electric Transportation Coalition

*Simon Mui, National Resources Defense Council

*John Shears, Center for Energy Efficiency and Renewable Technologies

APPEARANCES (Cont.)

Staff/Presenters

Jim McKinney, ARFVTP Program Manager CEC

Jacob Orenberg, Zero-Emission Vehicle and Infrastructure Office CEC

Andre Freeman, Emerging Fuels & Technology Office CEC

Randy Roesser, Fuels and Transportation Division CEC

Others Present (* Via telephone and/or WebEx)

James Boyd, Clean Tech Advisers (former CEC Commissioner)

*Dr. John Reed, North American Repower

*Urvi Nagrani, Motiv Power Systems

*Erin Evans, Small School Districts Association

*Stephen Ptucha, Cummins Westport

Joe Pride, Wooster Engineering & Stone Edge Farm Microgrid Project

Peter Ward, Alternative Fuels Advocates, LLC

Vincent Wiraatmadja, BYD Motors Inc

John Brauer, California Labor Federation

I N D E X

	<u>Page</u>
Introductions and Opening Remarks	
Jacob Orenberg - Housekeeping items	5
Janea Scott - Opening remarks, introductions	5
Program Status Update	10
Jim McKinney, ARFVTP Program Manager, CEC	
Development of 2016-2017 Investment Plan Update	48
Jacob Orenberg, Zero Emission Vehicle Infrastructure Office, Fuels and Transportation Division CEC	
Advisory Committee Comments and Discussion	63
Public Comment	101-118
Lunch Break	119
Advisory Committee Comments and Discussion (cont.)	119
Public Comment	139-145, 159, 167-182, 220-224, 233
Adjourn	239
Court Reporter's Certification	240
Transcriber's Certification	241

1 P R O C E E D I N G S

2 November 6, 2015

10:02 a.m.

3 MR. ORENBERG: . . . also lastly, in the event of
4 an emergency and the building is evacuated please follow
5 our employees to the appropriate exits. We will reconvene
6 at Roosevelt Park, located diagonally across the street
7 from this building. Please proceed calmly and quickly,
8 again following the employees with whom you are meeting to
9 safely exit the building.

10 Also, if you would like to make a public comment
11 during this workshop we do ask you fill out one of these
12 blue cards and you can hand them to me. Thank you.

13 COMMISSIONER SCOTT: Thank you very much, Jacob.

14 The blue cards are kind of up front on the table
15 as you walked in just in case you didn't see them.

16 So I'd like to say good morning and welcome to
17 everybody. I think I know most of the folks around the
18 room, but for those of you who don't know me I am Janea
19 Scott. And I'm the Lead Commissioner on Transportation
20 here at the Energy Commission. And so I just want to warmly
21 welcome everyone and say thank you to you for spending time
22 here with us this morning.

23 Before we get started I just wanted to highlight
24 a few things that have taken place since our last Advisory
25 Committee Meeting. Most of you are probably well aware of

1 this, but thought I'd highlight it anyway. As you all
2 know, earlier this year Governor Brown set an ambitious
3 goal of reducing the State's greenhouse gas emissions to 40
4 percent below 1990 levels by 2030. And to help us get
5 there he called for, among other things, a 50 percent
6 reduction in petroleum use by California's transportation
7 system by 2030.

8 Additionally, in July 2015 the Governor put out a
9 Sustainable Freight Executive Order calling for multiple
10 state agencies to collaborate on the development of an
11 Integrated Action Plan that establishes targets to improve
12 freight efficiency, increase adoption of Zero Emission
13 technologies and increase the competitiveness of
14 California's freight system. Our Alternative and Renewable
15 Fuel and Vehicle Technology Program or ARFVTP -- you'll see
16 that acronym everywhere -- is helping to fund that
17 transition of California's transportation fleet to zero and
18 near zero emissions fuels and technologies. And we will
19 continue to be an integral part of helping to achieve the
20 Governor's goals.

21 It's critical that we are very strategic and wise
22 about how we invest our program funds. And to do that, it
23 is important that we have the most recent and up-to-date
24 information as decisions are being made. For that reason,
25 I'd really like to give special thanks to our Advisory

1 Committee members sitting around the table here with me who
2 continually share their knowledge and expertise as we
3 develop Investment Plans for ARFVTP.

4 To reflect on some of the accomplishments of
5 ARFVTP we've invested about \$580 million in over 495
6 projects throughout the state. We've had numerous
7 successes and most recently we're really excited about the
8 USEPA and Air Resources Board certified Cummins natural gas
9 low NOx engine, which reduces the exhaust emissions to 90
10 percent below the EPA's current NOx limit while meeting the
11 EPA's 2017 greenhouse gas emission requirements. We're
12 especially excited about that, because this is an engine
13 that was originally demonstrated as an ARFVTP project.

14 This year we also initiated an Energy Commission
15 ports collaborative effort in which we have engaged a
16 number of ports throughout California to gain a better
17 understanding of the barriers they face in reducing the
18 emissions resulting from their daily operations.

19 As you all know, California's freight industry
20 accounts for about 30 percent of the State's economy, but
21 it's also responsible for 45 percent of the NOx emissions
22 and about 6 percent of the greenhouse gas emissions in
23 California. So we're working with the ports to understand
24 how we can help clean up the freight sector. And that's
25 something that we're really excited to focus on with our

1 partners in the ports this year.

2 I'm also happy to announce that this year we
3 initiated an annual merit review process in which we bring
4 in previous ARFVTP recipients to provide insights and
5 guidance on improvements we can make for going forward and
6 for future ARFVTP projects. It really gives us a chance to
7 kind of do a deep dive into some of the projects and
8 understand how they have the potential to help with clean
9 air goals and with climate goals.

10 So those are just a couple of the highlights that
11 I wanted to mention to you all before we jump into today's
12 presentations. But before we do that let's go around the
13 table and do some introductions. And as we're doing that,
14 I would really like to highlight and point out for you all
15 we have two new members on the Advisory Committee.

16 And I just want to extend the warmest welcome to
17 Claire Jahns from the California Natural Resources Agency.
18 She's over there. And also to Sekita Grant from the
19 Greenlining Institute. We're just delighted to have you as
20 members of the Advisory Committee.

21 So let's go around and do introductions. Jim,
22 you want to start?

23 MR. MCKINNEY: Jim McKinney, ARFVTP Program
24 Manager.

25 MR. ROESSER: Randy Roesser, Fuels and

1 Transportation Division Acting Deputy Director.

2 MR. KAFFKA: Steve Kaffka, University of
3 California Davis.

4 MS. JAHNS: Claire Jahns, Assistant Secretary for
5 Climate Issues at the Resources Agency.

6 MR. MICHAEL: Jack Michael, representing
7 Recreational Boaters of California.

8 MS. GRANT: Sekita Grant, Legal Counsel with
9 Environmental Equity at the Greenlining Institute.

10 MR. LEVENSON: Howard Levenson, Deputy Director
11 of CalRecycle.

12 MR. COOPER: Peter Cooper, Assistant Director at
13 the Employment Training Panel.

14 MR. KNIGHT: Ralph Knight, Napa Valley.

15 MR. GOLDSTEIN: Brian Goldstein, Executive
16 Director of Energy Independence Now.

17 MR. WHITE: Erik White, I'm Chief of the Mobile
18 Source Control Division at the Air Resources Board on
19 behalf of Dr. Alberto Ayala.

20 MR. CARMICHAEL: Good morning, Tim Carmichael
21 with the California Natural Gas Vehicle Coalition.

22 MR. GERSHEN: Good morning, Joe Gershen with the
23 California Biodiesel Alliance.

24 MR. ORENBERG: And Jacob Orenberg, the Project
25 Manager for the 2016-2017 Investment Plan Update.

1 COMMISSIONER SCOTT: Terrific. Welcome everyone.
2 I'd like to remind you we have folks that are on
3 the WebEx who are also participating, so if you will
4 remember when we get to the discussion part to say your
5 name before you speak I think that'll help folks on the
6 phone and WebEx follow along with us.

7 Let me turn it now over to Jim McKinney who's
8 going to give us a PROGRAM STATUS UPDATE.

9 MR. MCKINNEY: Great. Thanks very much,
10 Commissioner Scott.

11 So again on behalf of the Energy Commission and
12 Energy Commission staff, welcome to all of our Advisory
13 Committee members here this morning and to our stakeholders
14 here in the audience.

15 One other thing I wanted to check with Andrew, do
16 we have any Advisory Committee members that are
17 participating remotely?

18 (No audible response.)

19 MR. MCKINNEY: Not yet, okay great.

20 Let's see and then Mr. Roesser, who's trying to
21 kind of look subtle there in his red shirt at the corner of
22 the table, he has been our Acting Deputy Director for this
23 year. And I think, Randy, this will be your last Advisory
24 Committee meeting, right?

25 MR. ROESSER: (Indiscernible)

1 MR. MCKINNEY: Yeah, okay. So it's really been a
2 great ride working under him. He's really brought a lot to
3 our program, so glad you're sitting here today Randy and
4 we're going to wish you well and miss you.

5 With that, let's see here we go. Okay. Here is
6 this morning's agenda, so we're in the introduction,
7 opening remarks, program status report. I'll give a
8 presentation kind of bringing you all up to speed on what
9 we've been doing with the public money, where we are, what
10 our goals are.

11 Then Jacob Orenberg, who has taken over from the
12 very capable Charles Smith, will give us the staff
13 presentation of the Investment Plan and the staff arguments
14 and rationale for the different funding recommendations.

15 After that we'll turn to the Advisory Committee
16 for discussions. And we'll just go line by line down the
17 funding chart. We'll have Committee discussion and then
18 Committee discussion on the phone and then stakeholder
19 discussion here, stakeholder discussion on the phone.
20 Lunch and then we'll continue discussion and then close
21 with any last public comments.

22 Let's see, Chris would you like to introduce
23 yourself real quickly before I get going?

24 MR. SHIMODA: Yeah, Chris Shimoda, Policy
25 Director for the California Trucking Association.

1 MR. MCKINNEY: Great, welcome Chris.

2 So with that when we talk about the program
3 status and how we use the \$100 million in public funds each
4 year it's always a good reminder to note the scale of what
5 it means to have -- to be doing this in the context of the
6 8th largest economy in the world and our just massive
7 transportation system here in California.

8 So we have over 28 million vehicles, nearly 1
9 million trucks and we continue to consume very, very large
10 volumes of fuel. And as you can see about 18 billion
11 gallons total, the gasoline figure includes some ethanol as
12 well. And over 170,000 in primary roadways, so while the
13 numbers from ARFVTP are moving off of zero and starting to
14 move up we still have a long ways to go to get to where we
15 need to be in the low-carbon transportation future.

16 For ARFVTP, this was originally done under AB 118
17 back in 2007. The way this program works is that there's a
18 small surcharge on everybody's vehicle registration fee and
19 smog abatement fee. About 100 million of that a year come
20 to the Energy Commission, another 30 million a year goes to
21 our partners at the California Air Resources Board for the
22 Air Quality Improvement Program.

23 The amount coming to the Commission at the end of
24 2023 will total about \$1.5 billion. We think the Air Board
25 will get another half a billion dollars on that, so that'll

1 total about \$2 billion in public investment in these
2 technologies and fuels and vehicles when the program
3 sunsets.

4 Commissioner Scott already went through a lot of
5 the policy objectives here, so I think we're familiar with
6 them now. And I just would like to note that when I
7 understood that Governor Brown was meeting with the Pope in
8 the Vatican and they talked about climate change, it just
9 kind of jarred my world. I mean, I think it's just amazing
10 what our Governor is doing. And then he'll be representing
11 California at the Paris Climate Negotiations in December as
12 well. So it's an amazing opportunity to work under
13 administration that takes climate change and greenhouse gas
14 reduction emissions so very, very seriously.

15 This is a schematic that shows how our program
16 works. So we get our Investment Plan initial allocations
17 -- that's where we are today. Those then translate into
18 solicitations and that's really where we kind of take an
19 aggregate set of policy directions and funding amount and
20 translate that into a specific solicitation. So we can do
21 solicitations and then interagency agreements.

22 That is a very competitive process, the proposals
23 are received, screened, reviewed, ranked. And then we make
24 a decision on what we call the NOPA, Notice of Proposed
25 Agreement, and then those translate into individual

1 contract agreements. Typically, we have two years to
2 encumber the money and grantees get four years to use it.
3 With the hydrogen system it's a little different, we now
4 have a four plus four funding situation there.

5 So this is where we are today. As Commissioner
6 Scott said we're coming up on the \$600 million mark in
7 public investments through ARFVTP, so this is about 50
8 million more than we had when we last met in February in
9 Fresno for the previous funding plan.

10 You can see the percentages here, so electric
11 drive continues to get about a third of our funding,
12 biofuels a little over a quarter, hydrogen and natural gas
13 are getting about 17 percent, workforce development and
14 then program development as well. So we're coming up on
15 500 total projects. And again, it's really exciting,
16 because the needle is not kind of at zero anymore. We're
17 starting to see some demonstrable changes in our system.

18 So this is a little more information and I'm
19 going to go through each of these kind of primary funding
20 categories in more detail. But for fuel production, you
21 can see that biodiesel and biomethane are predominant fuel
22 categories for that. Ethanol's got a little bit.

23 For fueling infrastructure hydrogen is starting
24 to become kind of the predominant fuel category there.
25 Electric drive, of course, is incredibly important. Some

1 to ethanol, E85, a little bit to biodiesel and a little bit
2 to natural gas as well.

3 On the vehicle side it's about an even split
4 between electric drive and natural gas. Most of these are
5 in the medium duty and heavy-duty truck sectors, so we put
6 a lot of money into electric drive medium duty, heavy-duty
7 technology demonstrations. And as those technologies
8 mature they're eligible for the HVEP (phonetic) funding
9 program at the Air Resources Board.

10 For manufacturing that's primarily electric drive
11 and most of that is trucks and buses here in California and
12 again, in workforce and a few other parts.

13 This is how the funding is distributed by Air
14 District in California. So the way to read this chart is
15 what you would like to see is that the percent of total
16 funding and percent of state population are roughly
17 equivalent, so that is for the Bay Area.

18 Monterey is about the same.

19 The San Joaquin Air District has got about 10
20 percent of our state population; they're getting about 14
21 percent of our funding. South Coast, Madame Yousetta
22 (phonetic) likes to remind me that these funding figures
23 for South Coast are not right, but they do get the lion's
24 share of the funding here given the size of the population
25 and the severity of the air quality issues down there.

1 And then we have other Northern California, the
2 smaller air districts, smaller grants, Southern California,
3 and then about a quarter of our projects kind of work at
4 the statewide basis. So these can be multi-project awards
5 for electric vehicle charging infrastructure, natural gas
6 truck deployment, E85 retail ethanol stations and that type
7 of thing.

8 I'm going to turn now to electric vehicle
9 infrastructure and support. So we recently kind of crested
10 the \$40 million mark for investments here. I would like to
11 recognize Thanh Lopez and Brian for the amazing work
12 they've done in really cleaning up our data sets. We
13 actually know now where all of our chargers are and exactly
14 what was going on with some of our big multi-million dollar
15 awards earlier on. We didn't have really good as-built
16 data. We now have that.

17 So we've now funded 7,500 total chargers and you
18 can see about 6,000 of those are installed. We started out
19 with an emphasis on the residential program and realized
20 that that market was firming up pretty quickly. The
21 charger costs are coming down, so people can handle that
22 more or less on their own.

23 Multi-unit dwelling is a huge emphasis for us
24 given the number of Californians that live in apartments or
25 condominium blocks in our urban areas.

1 The commercial space is important too, 2,800
2 there.

3 The workplace area is emerging as a very
4 important place to put EVSC. We've seen some good data
5 where if you put enough chargers in, in a few key large
6 work areas, you'll actually see an uptick in EV sales in
7 that same region.

8 And then our D.C. Fast Charger investments are
9 coming along very well as well. We're going to have a 120
10 of those. They take a little bit longer to install.

11 Thirty-four regional readiness grants that we've
12 done and those are very, very important for really tapping
13 the local expertise of local and regional planning entities
14 in taking some of that detailed work out of Sacramento and
15 down to the regions where there's more local knowledge.

16 CPCFA Loan-Loss Reserve Program, this is up and
17 running now. So we seeded this with a \$2 million grant and
18 what this is, is a small business commercial loan program
19 with backing from CPCFA and if there is a default on any of
20 the loans we cover that with our loan loss reserve. So
21 we're excited to have that up and running and we're waiting
22 for kind of the initial response from the small business
23 community.

24 COMMISSIONER SCOTT: Jim, let me make a brief
25 addition here. And that is on December 7th we're going to

1 have a workshop here at the Energy Commission where we dig
2 into some of those regional readiness planning grants to
3 really understand how the decisions about where to put
4 chargers are being made. And so Commissioner Carla
5 Peterman from the PUC and I will be doing that, so if
6 that's of interest to you please make a note of December
7 7th.

8 MR. MCKINNEY: Great, thank you, Commissioner.

9 Turning to PEV sales, so this is a little out-of-
10 date from August, but we're at about 155,000 vehicles here
11 in California. That continues to account for about 40
12 percent of the national vehicle sales, so we continue to be
13 the national leader on that.

14 This also translates to about 2.8 percent of new
15 vehicle sales, so I think the goal here is to hit 6 percent
16 under the ZEV Regulation and the ZEV Mandate. So we're
17 making steady progress on that and it's a very, very
18 exciting time in the EV market.

19 This is a map of the fast chargers that are both
20 planned and installed in California, so this is one of the
21 current emphases for our EVSC solicitations is north-south
22 fast charger corridors. And as you can see here, the red
23 stars are the D.C. fast chargers, the blue are the NRG eVgo
24 system, the gold is the Energy Commission planned, the
25 purple are the Tesla super chargers and then a couple of

1 other companies there as well. So a big policy goal for us
2 is to complete the West Coast Electric Highway and enable
3 travel from Canada to Mexico on Interstate 5 and other key
4 north-south corridors.

5 This was a status slide that I borrowed from
6 Tyson Eckerle from his recent ARB Status Update, so one
7 thing to note here is that the unit here is charge points
8 and not chargers, so you can have multiple charge points or
9 connectors from a charger.

10 I checked AFDC data set this morning, so we've
11 got 2,700 operational charters in California right now.
12 And about 8,000 charge points, so you can see that
13 translates pretty well.

14 The big news here is the section on the bottom.
15 We have a ways to go to get to the goals we need to do, to
16 support 1 million EVs by 2020 and enable 1.5 million EVs by
17 2025.

18 So now the fun part of the presentation, so we
19 have a lot of projects coming online. In the early days of
20 these presentations it was a little dry, because we had
21 charts and lots of promise and no pictures of anything that
22 was constructed. Now we have a lot of things coming
23 online. We've got a lot of new staff here at the
24 Commission and a lot of good projects coming in the field.
25 So this was kind of a fun section to do.

1 This is down at Cal State University of Fresno.
2 They got a grant for two D.C. fast chargers and then four
3 Level 2 chargers. You can see the event there, you can see
4 the leaf on the bottom right and the charger there.

5 Going down to Burbank they received a grant for
6 eight curbside charters and here you can see a picture of
7 one of them with Commissioner Scott and some other local
8 officials down there.

9 Was that a good time, Commissioner? It looks
10 like it was a good time.

11 COMMISSIONER SCOTT: We had fun. I've always
12 wanted to cut a ribbon with big scissors.

13 MR. MCKINNEY: So here's Sam Lerman, one of the
14 guys holding the giant green scissors. So this was a grant
15 to the Kaiser Foundation, so 50 chargers at five different
16 Kaiser Hospital locations. So this was the one at Woodland
17 Hills. Clean Fuels Connection was the grantee on that.

18 COMMISSIONER SCOTT: You know, Jim, one more
19 thing. I should have mentioned on that Burbank Curbside
20 Charging, one of the things for us that was so exciting
21 about that is the curbside charging -- I don't know if you
22 can tell -- it's in the parallel parking spaces. So in
23 cities like Burbank and others around Southern California
24 and Northern California it's kind of neat to be able to get
25 them into a -- rather than, you know, the pull-in type of

1 parking space into the curbside.

2 MR. MCKINNEY: Thank you, Commissioner.

3 I'd like to recognize Bonnie Holmes-Gen, do you
4 want to say good morning Bonnie?

5 MS. HOLMES-GEN: Good morning, sorry to be late.

6 MR. MCKINNEY: It's okay.

7 Bonnie Holmes-Gen represents the American Lung
8 Association here on our Committee.

9 And here is what we're doing in terms of our
10 charger solicitation, so we have a fast charger
11 solicitation for \$10 million that's on the street. And I
12 think that's going to close pretty quickly, so again I'd
13 refer us back to the map, the north-south fast charger
14 corridors. We have another \$15 million solicitation coming
15 up and this will likely focus on the areas I mentioned
16 earlier, so multi-unit dwellings, commercial space and the
17 workplace.

18 Our Regional Readiness Planning Program continues
19 to go, so had seven recent awards for about \$1.2 million
20 and we've got nearly \$2 million available for the next
21 solicitation.

22 I'm going to turn now to hydrogen where it's even
23 more exciting. So as we've talked quite a bit we've had
24 funding for 49 stations out there for almost two years now,
25 45 new stations and then 4 station upgrades through our

1 partnership with the South Coast Air Quality Management
2 District. And we're now up to 33 station operation and
3 maintenance grants and we have a mobile refueler that's
4 nearing completion too.

5 A series of regional readiness grants that just
6 focus on hydrogen in different parts of our urban areas in
7 California. Some critical work that we've been funding, so
8 CDFA Division of Weights and Measures, they now have a
9 regulation allowing for the retail sale of hydrogen as a
10 motor fuel in California. And that's the first for the
11 U.S. and they also have technical standards and then what
12 we call the metrology device that goes out and actually
13 confirms that a kilogram of hydrogen does in fact weigh one
14 kilogram.

15 The HyStEP device, and I forget what the acronym
16 stands for, but this is a device that we're developing
17 through cofunding with the ARB, South Coast and DOE and
18 Raoul is putting it together along with PowerTech. And
19 this is a divide that will confirm the J2601 Technical
20 Standard, which controls temperature and pressure for light
21 duty vehicle fueling. It's a very high-pressure system, it
22 needs to be chilled. And it works at about 10,000 Psi or
23 700 Bar or Megapascal, so we really hope that that will
24 accelerate what we call the commissioning process.

25 The street model for our planning and then

1 Tyson's salary, which I guess you can look up online. I
2 was trying to be kind in not putting it down here, but
3 Tyson Eckerle at GOB is the -- I think the ZEV
4 Infrastructure Manager is his current title. So again,
5 this is really, really exciting, because the green bar on
6 the left used to be at 2 for quite a long time. And now
7 we're really accelerating.

8 So a couple of companies that I want to
9 recognize: First Element, which kind of represents a new
10 business model in terms of they're an aggregator as opposed
11 to an industrial gas company. So they buy equipment, they
12 pull personnel from different places, and they also have
13 some funding from Toyota. So they have four stations that
14 are now online. Air Products has another four stations
15 that are online.

16 And then some new companies: Air Liquide,
17 Hydrogen Frontier and ITM Power out of England also have
18 stations that are operational now. We've got another eight
19 in the queue and we hope to see these come online by the
20 end of the year.

21 So here's a map that shows Northern California,
22 so we're at three operational thus far. One of those is a
23 new one, the Linde West Sac station. And that necklace
24 around the South Bay, we hope to turn that into an emerald
25 necklace pretty quickly here. But so far it's just San

1 Jose that's operational.

2 Turning to Southern California again, so the
3 green is starting to predominate. A lot of good stations
4 that are coming online there, again a lot of action and
5 it's just a really, really exciting time for those of us
6 that have been tracking hydrogen fuel cell vehicle
7 development, station development. You know, we call it the
8 chicken and egg. Some people say that doesn't work, you've
9 got to have a steady tide that rises all boats in the
10 system and it's finally coming together. It's a lot of
11 fun.

12 So here's more smiling pictures. Here's
13 Commissioner Scott down at the South Coast grand opening.
14 This is an Air Product system there at the Diamond Bar
15 Office Complex in March. So the gentleman in the lower
16 right, I didn't get his name but he's the manager for EPC,
17 which actually installed the equipment, and Commissioner
18 Scott with a few other Board Members from South Coast AQMD.

19 This is the First Element Station, so you'd think
20 by the pictures here they only work at night. They
21 actually work night and during the day, but they're really
22 busting their buns to get these stations online. So they
23 won a grant for 19 stations in early 2014 and again are
24 working hard. And I mentioned the Toyota investment, they
25 have investments from Honda to apply to the next

1 solicitation.

2 So the station on your upper-left is at Long
3 Beach. I was down there about three weeks ago, and I saw a
4 lot of pads and a lot of holes in the ground and a lot of
5 conduit laying on the side there. And now they've got a
6 fully functional station in front of the AMPM. This was a
7 very high volume station in Long Beach. When I was there
8 all the bays were full and there was a line, so this should
9 be really interesting to see how the hydrogen fueling
10 system integrates with that.

11 Costa Mesa, our upper right and lower left, those
12 are construction photos. And then the bottom right is
13 Coalinga.

14 The Mirai has been officially launched by the
15 Toyota Corporation. So here's a shot of them coming off of
16 the container ship. And according to the ARB survey and
17 the AB 8 Assessment Report we hope to have 1,000 vehicles
18 by the end of 2016. So I think Toyota's figure is about
19 300 for their initial launch here. Hyundai, of course, got
20 it started last year with their initial launch. And Honda,
21 I think, is quite active at the Tokyo Auto Show as we
22 speak, laying out the concepts and designs for their Honda
23 car.

24 So again going back to the AB 8 Report, so 2016
25 we hope to see 1,000 vehicles; 2017, 3,000 vehicles and by

1 the end of 2018, 10,000 vehicles.

2 We have another tranche of money coming up for
3 the hydrogen solicitation, so we had a Concepts Workshop in
4 August. We are now revising that and hope to release that
5 early first quarter next year. And that'll have 17 million
6 and just as a friendly reminder we can spend up to \$20
7 million as per AB 8. But we need to take some out per
8 operation and maintenance grant funding, so that takes away
9 from the capital budget that we have to work with.

10 And then Jean Baronas, Phil Cazal, Sarah
11 Williams, a lot of other folks on our staff are working
12 hard getting out in the field, working with local planning
13 organizations to ensure that permitting goes smoothly and
14 anything else that we can do to assist as well.

15 I'm going to turn now to ZEV and Near-ZEV trucks,
16 so this is also a very important part of our program.
17 We've done a lot of technology development over the years
18 and now that's really culminating with the work of the
19 Sustainable Freight Initiative and the strategy in the
20 Governor's Executive Order.

21 But you can see we're continuing to fund natural
22 gas trucks. We have about 27 trucks on the road. Natural
23 gas fueling infrastructure, we have about 50 stations
24 although our focus now is more on school districts and
25 local government, because we think the private market is

1 fairly functional for commercial fleets.

2 Commercial ZEV trucks, so that's the UPS electric
3 truck that continues to work just fine. I see it pretty
4 much every morning out here in front of the building when I
5 come in. And then really the lion's share of our money now
6 to advanced technology demonstration projects with the
7 recent NOPA that we had totaling \$31 million.

8 Transpower, who develops Class 8 electric trucks
9 for drayage and port operations, won a series of awards.
10 Hydrogenics won the first Fuel Cell Class 8 Truck Award, so
11 that'll be our first fuel cell drayage project that we're
12 funding. And then Motiv down in the South Bay won some
13 additional grants for electric drive school buses and
14 refuse trucks.

15 We have another solicitation coming up first
16 quarter 2016, and I think as Andre Freeman will speak
17 later, a big focus on freight in the ports.

18 Natural gas truck vouchers, so UC Irvine is now
19 our contractor and that program is up and running. You
20 should go check out their website; it's good.

21 And then again natural gas fueling, we've had
22 some recent station awards, ten of which were school
23 districts up and down California.

24 Here's some more completed projects. So this is
25 a work truck that EPRI and the Odyne Company have been

1 working to develop. There's going to be five of these,
2 this is a \$1.1 million grant.

3 TransPower, their Class 8 trucks, so one of the
4 fun things here is the right-hand photograph is what we
5 call the pantograph part. And this was the Catenary
6 Project, so catenary just means overhead electrification
7 and the pantograph is the device that connects the battery
8 system to the live wire. So this is them installing the
9 pantograph on the Class 8 truck that Transpower developed,
10 it's really exciting, the battery pack and then one of
11 their trucks at work.

12 Motiv, their recent attention has been on
13 electric school drive or electric bus -- electric school
14 bus -- let me try again, school bus with electric drive.
15 And they've got some good products. These have been
16 demonstrated down in the Kings Canyon area and they
17 recently moved into a new facility in Hayward or Fremont
18 and there is Dr. Ayala and myself learning to operate the
19 big scissors -- were actually pretty tricky to operate, I
20 found out.

21 Turning to Biofuels -- a lot of good development
22 here in the biofuels sector -- so you can see biogas, we've
23 got about 15 projects or nearly \$10 million in production
24 capacity.

25 Ethanol, we're continuing to kind of I would say

1 tinker around the margins on ethanol. Most of it is corn-
2 based, so we're adding new feed stocks -- the milo.
3 Starting to get at some of the cellulosic process
4 technologies, which is good but renewable gasoline, it's
5 still very, very, very slight. And that's the drop in or
6 the green fuel that we want ultimately.

7 Biodiesel is probably our biggest success at this
8 point. We've added nearly 100 million gallons of new
9 production capacity in California. Renewable diesel also
10 is coming on quite well, so 165 million gallons per year in
11 new production capacity.

12 For some of the recent awards what we've done
13 most recently is the NOPA for pre-commercial advanced
14 technology demonstrations. These are smaller grants of
15 300,000 to 1 million dollars. We have a couple of green
16 gasoline projects and then a couple of algal feedstock
17 projects for biodiesel and other biofuels.

18 So some more projects coming online -- this is
19 the North State Rendering Biogas Project. It has a
20 rendering facility up in Oroville, these are the new
21 anaerobic digesters in there. And here's a happy gentleman
22 filling his truck with biogas.

23 The Springboard Biodiesel Project in Chico, so
24 this is about three-quarters of a million dollar grant,
25 350,000 gallon production capacity in dge. And one of the

1 things I learned when I was looking at their website, is
2 that they actually have a license with this technology to
3 the Air Force in Bagram in Afghanistan to create biodiesel
4 there in the field, so it's developing quite well.

5 The New Leaf Biodiesel Project, this was a half-
6 million dollar grant, which allowed them to expand their
7 project up to 5 million gallons annual production. This is
8 all used cooking oils and grease from the restaurant
9 community, which is quite vibrant in San Diego. And how
10 Jennifer Chase can wear a white dress at a biodiesel plant
11 I'll never know, but she pulled it off and that was a lot
12 of fun.

13 One thing you'll see here, just a lot of smiles.
14 It's easy to forget sometimes that people really invest in
15 these projects not just with their money and their
16 investors' money, but a lot of heart and a sense of true
17 belief that we can do this. And that enthusiasm is really
18 fun when you get out and meet the companies, meet the
19 principal (indiscernible) operations and see how hard they
20 work to make their achievements.

21 And Pixley Biogas, this is one of our large corn
22 ethanol bio-refineries in the state. This is down in
23 Visalia and this is a project where they're converting
24 dairy waste to biogas and then using that to back out some
25 of the natural gas for the boilers in place down there. So

1 this is a great project. Akasha Kaur Kalsa was the Project
2 Manager for that and I got to go down and assist in the
3 grand opening.

4 One project I didn't show here that's also
5 important, another one of the Governor's executive orders
6 is on Forest Biomass or not Forest Biomass, but the state
7 of the health of forests in California. We actually have a
8 project that come to bear here. So the G4 Company has a
9 gasification project that can handle the soft woods that we
10 see in our conifer forest.

11 We had a demonstration and I think Bill Kinney
12 was at that in Placerville. And that's one of the few
13 process technologies that we have that can convert soft
14 woods to a useful energy product.

15 For our workforce development and training, so
16 Dave Nichols -- I don't know if you're here -- under his
17 able leadership this continue to grow. So we're now at
18 over 14,000 people that have been trained through this
19 program and the assistance of nearly 250 businesses up and
20 down California.

21 I just want to talk very briefly about our Annual
22 Benefits Report, so this is our report to the California
23 Legislature on the greenhouse gas reduction benefits from
24 these investments.

25 So this is somewhat similar, we didn't -- because

1 the 2014 IEPR ran through December, we had a dataset
2 through December, the changes here are somewhat modest,
3 because it only reflects six months of additional projects
4 and data. But you can see here that vehicles account for
5 one-third of the expected benefits, so this assumes the
6 project is built to design specs and operated at design-
7 build capacity for ten years. And this is how it plays
8 out.

9 So for this, the manufacturing, our medium-duty,
10 heavy-duty trucks account for the bulk of the carbon
11 reduction benefit. That's the green bar. The blue bar
12 shows fueling infrastructure, so natural gas and biogas are
13 RNG account for about two-thirds of that. Biodiesel is 14
14 percent. Electric chargers are at 13 percent.

15 And the bottom bar is diesel substitutes, fuel
16 production. So diesel substitutes, about three-quarters of
17 that carbon reduction benefit biogas at 12 percent and then
18 gasoline substitutes at 12 percent.

19 So this slide incorporates expected benefits. I
20 describe that. Market transformation benefits are when
21 other investors and companies see the results of these
22 initial projects and decide this is a good opportunity for
23 me to invest private capital in there. We estimate those
24 benefits to range from just over 3 million metric tons
25 annually to about 5.4. So that's about a half a million

1 tons or another 500,000 tons in carbon reduction benefits
2 from this program since December.

3 And just one last slide -- no two last slides.
4 So first, in terms of program diversity this has been a
5 major initiative from Commissioner Scott and her team of
6 advisers. This is worth reading from the slide, so "Our
7 policy goals are fairness, diversity of ideas, inclusion,
8 job creation and diversity in needs."

9 So John Butler and Tami Haas did a series of
10 workshops in 2014 to really get this message out into the
11 field and I think that was quite well received. So we look
12 forward to continuing this part of our program.

13 And lastly, a status report on the other parts of
14 the program, the support analyses and reports. So I've
15 mentioned the 2015 Benefits Report in IEPR, so those charts
16 are also in our 2015 IEPR.

17 Section 3103 of our program regulations, this was
18 a major effort to remove the credit discounting provision.
19 So this has been successfully completed. I don't know if
20 Tim Olson is here today. He certainly deserves a shout out
21 for that along with our Legal Department in moving that to
22 completion. So that was just finished in October of this
23 year.

24 Commissioner Scott mentioned the Technology Merit
25 Review that Tim Olson is also managing. We had a

1 fascinating set of workshops at UC Davis and here. One
2 thing I really appreciated that when you're in a closed
3 room with no microphones and you've got a not for
4 attribution set of ground rules the private sector really
5 opens up. And I think what they have to say is always
6 fascinating and really important when you're trying to
7 figure out how to position government grant programs to
8 meet the industry needs, again to develop the technologies
9 that we need to get to our low-carbon transportation goals.

10 So we had the Biofuels Workshop. And then we've
11 got an upcoming series of workshops in December that'll
12 focus on medium-duty and heavy-duty trucks.

13 The Sustainable Freight Initiative, so again
14 Andre Freeman will speak to that. And then this will be
15 our first report under AB 8. So AB 8 requires two reports.
16 The first is from the Air Resources Board and that's an
17 assessment of how many hydrogen stations do we have, how
18 many cars do we have coming, and are they in sync? Are
19 they properly balanced?

20 The Legislature asked for us to investigate how
21 much it costs and how long it takes to build the stations,
22 so we will be developing that report through this December.

23 And that concludes my set of the presentation and
24 the program. So I think I'm going to turn it over to Jacob
25 now for his section.

1 COMMISSIONER SCOTT: Jim, do you want to take any
2 questions from the Advisory Committee members on your
3 presentation?

4 MR. MCKINNEY: Sure. Thanks for the reminder,
5 Commissioner.

6 Yeah, do we have any clarifying questions from
7 members of the Advisory Committee?

8 MR. CARMICHAEL: Good morning, Jim. Could you go
9 back to the very last slide, please?

10 (Pause to pull up slide.)

11 MR. MCKINNEY: Is that what you meant?

12 MR. CARMICHAEL: Yeah, I'm just trying to process
13 all the slides you just went through. Can you run through,
14 once again, what you just said on the AB 8 Report? I think
15 you said you were going to do that before the end of the
16 calendar year, but I just wanted to make sure I heard you
17 right.

18 MR. MCKINNEY: You heard me right. So by
19 December 31st of this year, and this is in the AB 8
20 statutory language, we need to produce a report that gives
21 our best assessment, how long will it take, and how much
22 might it cost to reach that 100-station goal in California.
23 So we are working very closely with ARB's team for the AB 8
24 Report, so Catherine Gerhardt, Andrew, Mike Kashuba and
25 some others. And NREL, NREL's our primary contractor for

1 this.

2 So they are taking the tools that they are
3 developing for the H2 USA work at a national scale. And
4 really, California is going to be the first time that this
5 is has been put into play. And we have the biggest dataset
6 of real world operational and cost data in North America.
7 So a lot of that is being input into the models that
8 they're using. And we're going to write a report.

9 MR. CARMICHAEL: Thank you very much.

10 MR. MCKINNEY: Yeah, Steve Kaffka?

11 MR. KAFFKA: Hi Jim. Steve Kafka. Your Figure 2
12 in your report, which looks at expected benefits?

13 MR. MCKINNEY: Uh-huh?

14 MR. KAFFKA: That one, I just wanted to try to
15 understand that a little bit better, if possible.

16 You have a pink bar, which is benefits: expected
17 green-house gas reductions due to diesel substitute fuels,
18 bio-methane gasoline substitutes, which are presumably
19 ethanol. And then above that, you have those same
20 categories again in blue.

21 And then above that in green you have a large
22 contribution for manufacturing. So just starting with the
23 manufacturing, how does manufacturing in fact reduce
24 greenhouse gas emissions?

25 MR. MCKINNEY: So most of our electric drive

1 manufacturing grants are for companies developing truck and
2 bus technologies. So that's the first clue right there.

3 So medium duty and heavy-duty trucks have a
4 disproportionate fuel consumption requirement, which means
5 -- and you know the rest of that sentence. So as you
6 develop more electric drive trucks and busses, on a per
7 vehicle basis, you start to get some meaningful reductions
8 in carbon emissions from that particular sector.

9 So I don't know exactly what the ratio is from a
10 light duty to a heavy-duty vehicle, but it is substantial.
11 So that's the reason for that.

12 MR. KAFFKA: Okay. So it's vehicle substitution
13 effectively, the savings?

14 MR. MCKINNEY: Correct.

15 MR. KAFFKA: Okay. And then the others are just
16 in terms of benefits from infrastructure and fuel
17 production. I'm just concerned about if there's any kind
18 of double counting going on in there?

19 MR. MCKINNEY: That's a great question. And the
20 hardest one is on light-duty vehicles and the charger
21 infrastructure, and so we feel pretty good that we've got
22 most of this captured for the charging infrastructure there
23 in the blue bars. And on the biodiesel side, most of our
24 fuel production -- and somebody can correct me if I get
25 this wrong -- most of our fuel production goes into the

1 wholesale markets as blend stock. So a little bit of it
2 goes into E85 retail ethanol. So we've tried to be
3 cautious on that one, but essentially, they're two
4 different systems.

5 MR. KAFFKA: Okay. And then the next figure I
6 think in your slide set, which is benefits -- lets see if I
7 can find it here in the report too. There's expected
8 benefits, and then there's additional market transformation
9 benefits, and market growth benefits.

10 MR. MCKINNEY: Correct.

11 MR. KAFFKA: Can you explain the market
12 transformation and market growth benefits a little?

13 MR. MCKINNEY: So not the 15-second version.
14 You'd like a little bit longer?

15 MR. KAFFKA: It went too fast for me.

16 MR. MCKINNEY: All right, sorry Professor.

17 Okay, so again the notion of market
18 transformation. One, this is what comes from the statute.
19 So this is really the operational language in AB 8 and 118
20 -- transform the market.

21 So with our -- our investment stream is very
22 modest and so we're again at 600 million. So expected
23 benefits -- everything that we fund is built and operated
24 at design capacity for ten years. So that's pretty easy to
25 tally up.

1 What market transformation means is that other
2 companies are observing what we're doing in the California
3 marketplace with this public funding. And at some point,
4 hopefully, expectedly, these companies say, "I think I can
5 make money with these technologies and with private
6 investment."

7 So they may come in -- so say, for example, we'll
8 say with hydrogen fueling infrastructure. These are
9 heavily subsidized now by the State at up to 85 percent,
10 but we're hopeful that in a few years, additional companies
11 will come in and say, "There's room for a deal here." And
12 so they will build another set of stations. They may get
13 some lower level of Energy Commission grant funding, maybe
14 not, maybe it's all private. But that's the idea.

15 So with the charger industry we know there are
16 chargers going in without public money. We don't know
17 exactly how many. That's where the AFDC website is
18 helpful. But if you just kind of think through all the
19 categories I've gone through today. And again it's that
20 capturing that concept that additional private sector
21 investment is going to come in and add to our annual
22 production capacity for biofuels to our EV charger fleet,
23 our hydrogen charging system, our hydrogen fueling system,
24 etcetera.

25 MR. KAFFKA: So these values are projections or

1 model estimates from NREL that you're providing?

2 MR. MCKINNEY: They're model estimates from NREL,
3 yeah.

4 MR. KAFFKA: And so whatever assumptions they
5 make about rates of growth and adoption are built into
6 that?

7 MR. MCKENNEY: Correct.

8 And I think the best source for that is the 2014
9 Benefits Guidance Report from NREL, which should be
10 available online. And if you're really interested, I can
11 send that to you directly and we can do a conference call
12 with Marc Melaina who was our PI for that.

13 MR. MCKINNEY: Yeah, Bonnie?

14 MS. HOLMES-GEN: Can you possibly just explain a
15 little more about what we're learning about how the
16 different technologies contribute to these categories of
17 benefits?

18 MR. MCKINNEY: And which chart are you looking
19 at?

20 MS. HOLMES-GEN: Well, I'm looking at the
21 expected benefits chart with the side frame of the three
22 different --

23 MR. MCKINNEY: This one?

24 MS. HOLMES-GEN: Yeah, this one. I'm looking at
25 this one.

1 MR. MCKINNEY: Okay.

2 MS. HOLMES-GEN: I mean, we're all trying to
3 absorb this. And just it's how much -- what information do
4 we have about which technologies, how much different
5 technologies are contributing to these different baskets of
6 benefits?

7 MR. MCKINNEY: So let's see, I think Table ES-1
8 in the Investment Plan lists how many widgets we're getting
9 for the ARFVTP investments. I make a little joke there.
10 How many chargers? How many cars? How many trucks?

11 MS. HOLMES-GEN: Right, which I really appreciate
12 all those numbers. That's great.

13 MR. MCKINNEY: Yeah, so you can start with that
14 and then what we've done with Dr. Melaina and his team.

15 So again, for expected benefits, so these are
16 assuming everything that we fund is built and operated at
17 design capacity for ten years. That takes us out to 2025.
18 And so it's essentially taking most of the equipment that's
19 summarized there in Table ES-1 and calculating what's going
20 to be the carbon reduction.

21 And say, for example, the way you do that in the
22 truck sector is you estimate what is the avoided or
23 displaced truck? So this could be retirement from a truck
24 in a fleet, which we don't think happens that often with
25 our funding. We think this funding helps displace as the

1 fleet expands. And instead of buying a diesel truck,
2 they'll buy a natural gas truck or an electric truck or a
3 hybrid or maybe a fuel cell truck some day.

4 And then once you estimate what that avoided
5 truck is -- and we know what kinds of trucks we're funding,
6 so you understand the duty cycle, the mileage and the fuel
7 consumption -- and after that is just straight math. I'm
8 not the math guy, but that mathematics is fairly
9 straightforward. For the stuff Steve Kaffka was getting at
10 that's a little more complicated.

11 So that's an example from the vehicle sector.

12 For biofuels it's even more straightforward,
13 because we know how much biodiesel, advanced ethanol,
14 biogas in going into the system. So it's not too hard to
15 back out the equivalent volumes of diesel or petroleum
16 gasoline and calculate those benefits. So that's the
17 differential between what a gasoline-powered car would use
18 and an EV would use or etcetera.

19 So is that helpful?

20 MS. HOLMES-GEN: I think so. I'll see if I have
21 any more questions. Thank you.

22 MR. MCKINNEY: Okay. We actually haven't done a
23 workshop on this in a couple of years. And if there's a
24 need for one, we can fold that into -- obviously consult
25 with the Commissioner and Randy and the Executive Director,

1 but that's something we can put together if enough Advisory
2 Committee members and stakeholders would like a refresher
3 or an update on the methodology that NREL is using.

4 MR. KAFFKA: I think it might -- Jim, this is
5 Steve Kaffka -- I think it would be useful. And I think
6 it's particularly important for California in terms of
7 seeing the direct benefits within the State, because we
8 certainly want to see the benefits of our green economy
9 distributed and help build, particularly the disadvantaged
10 communities that are paying higher costs for everything
11 else, as a function of the policies we've adopted. So I
12 think it's important.

13 MR. MCKINNEY: Okay. Thank you for those
14 questions and comments.

15 MR. GOLDSTEIN: Has there been a breakdown of --

16 MR. MCKINNEY: Sorry, it's Brian.

17 MR. SHIMODA: So is he --

18 MR. MCKINNEY: I'm sorry, so Brian and then
19 Chris.

20 I know Chris, you've had your sign up for a bit.

21 MR. SHIMODA: So sorry about that.

22 MR GOLDSTEIN: This is Brian Goldstein with
23 Energy Independence Now.

24 Is there a breakdown of the greenhouse gas
25 reductions per dollar spent in each of the individual

1 categories, so we can see which categories are having the
2 largest impact at this point?

3 MR. MCKINNEY: Okay. Sorry, say that first part
4 of your question again, please?

5 MR. GOLDSTEIN: Is there a breakdown possibly in
6 the NREL Report that explains the GHG reductions per dollar
7 spent in each of the categories? So we can see which
8 dollars are really having the highest impact at this point.

9 MR. MCKINNEY: I see what you're saying, okay
10 kind of the old -- we call it the metrics question.

11 So in the 2014 IEPR we had a good workshop. And
12 then Charles Smith who's sitting over -- there he is -- ran
13 a series of examples. And I don't remember exactly which
14 ones you did, Charles, but it's there in the 2014 IEPR, so
15 it might help answer your question.

16 It can be a little misleading to try to take the
17 funding table and do back of the envelope math. I've tried
18 to do that before, it's not quite accurate. So why don't
19 you start with the 2014 IEPR. And that's available online.
20 And I'm happy to work with you or other staff can work with
21 you as well.

22 MR. GOLDSTEIN: Great, thanks.

23 MR. MCKINNEY: Okay. I'm going to go to Chris
24 and then we have Eileen Tutt on the line.

25 MR. SHIMODA: So I don't want to be overly

1 critical of the methodology on the manufacturing, but
2 something that might be useful just when any of us are out
3 there talking to policy makers about what kind of the
4 implications of this table are, is that since manufacturing
5 is based on build capacity it might be worth just noting --
6 you know, small asterisks -- that it doesn't assume that
7 incentives are not going to be needed for the deployment of
8 the vehicles being funded or the build capacity.

9 There's kind of an implicit assumption that once
10 the build capacity is there that the vehicles are going to
11 be adopted without additional help. And so that's just
12 something worth noting.

13 MR. MCKINNEY: I wouldn't take that as a critical
14 comment at all. That's a very good comment, so thank you.

15 Let's see, I need to go to Eileen Tutt on the
16 line and then I'll go to Joe. So should I just read this,
17 or did Eileen want to speak on her own behalf?

18 Sorry, she can speak.

19 MS. TUTT: Hi, Jim. Can you hear me?

20 MR. MCKINNEY: Hi. Very well,

21 MS. TUTT: Okay. Thank you for the presentation.
22 If you could just go to the next slide again it's really --
23 I mean on this one I'm wondering, did you incorporate in
24 the market transformation benefits the investment that
25 individuals are making in putting -- or did NREL -- in

1 putting home chargers in? Because I think we often tend to
2 just look at the public chargers and the investment there,
3 but really turning everybody's home into a charging station
4 -- that's a big market transformation. I mean, that means
5 when they sell the house the next person has the -- can buy
6 an electric vehicle.

7 And those investments are pretty big already. I
8 mean, people are modifying their homes or upgrading their
9 homes to include an electric vehicle charger and I think
10 that investment is often overlooked. So I'm just wondering
11 if that was included here. If you know?

12 MR. MCKINNEY: I think I can safely say "no,"
13 because the projections that Dr. Melaina did for EV
14 chargers tended to focus on public chargers. So that's an
15 excellent comment, so thank you for that. We'll work on
16 adding that into the next one.

17 MS. TUTT: Okay.

18 COMMISSIONER SCOTT: Let's take a question from
19 Joe on this one. And then I think what I'm hearing loud
20 and clear is that we really do need to do a workshop or
21 some additional information to walk through the benefits
22 and the metrics that we've put together.

23 We did do this for the 2014 IEPR, but that's been
24 awhile, so we could do a little bit of a refresher. We can
25 have Dr. Melaina come in and we can ask him questions about

1 all the different components or the methodologies and the
2 assumptions and how he put this together for us.

3 And then we can think together about how to
4 continue to articulate that in a way that's clear and
5 comprehensible to folks. And if there's other places that
6 we need to pull that information besides just this type of
7 a report or an IEPR Report.

8 So that's what I'd like to suggest, but let's
9 turn to Joe.

10 MR. GERSHEN: Hi, Joe Gershen. Just real quick
11 in answering Brian's question, I think -- Brian, right?

12 There's great ARB data on their site about the
13 LCFS credits generated by the different categories. And
14 it's pretty easy to download that. There are graphs on the
15 -- its an Excel spreadsheet -- and there are some graphs on
16 there and some numbers.

17 And it pretty clearly show you which categories:
18 biofuels, you know, specific biofuels within the biofuels
19 category, electrics, different programs. And what amount
20 of credits they're generating in the program by quarter and
21 then through the whole program since its inception. So
22 that's pretty helpful, I think.

23 MR. MCKENNEY: Okay. I'm going to turn it over
24 to Jacob Orenberg now. And he's going to go through the
25 staff recommendations for funding for this fiscal year.

1 MR. ORENBERG: Well, good morning again. My name
2 is Jacob Orenberg. And I am the Project Manager for the
3 2016-2017 Investment Plan Update for the Alternative and
4 Renewable Fuel and Vehicle Technology Program.

5 The annual Investment Plan Update serves as the
6 basis for all solicitations, agreements and other funding
7 opportunities for each fiscal year. When developing this
8 year's Investment Plan we assumed a full allocation of \$100
9 million to support a broad portfolio of fuels and
10 technologies that help meet the policy goals of the ARFVTP.

11 I do want to note that the allocations described
12 in the Investment Plan and during this workshop are for
13 general project categories, not individual projects. And
14 we won't be considering individual projects or
15 solicitations in this workshop.

16 This schedule summarizes the major milestones in
17 the development of the 2016-2017 Investment Plan Update.
18 We released the Draft Staff Report on October 22nd and are
19 holding the first Advisory Committee meeting today, of
20 course. We will release a Revised Staff Draft by January
21 10th, which is required in advance of the Governor's
22 Budget.

23 A second Advisory Committee meeting is also
24 expected to be held sometime in late January.

25 Finally, the Lead Commissioner Report version

1 will be released in March. And we anticipate business
2 meeting approval of the final document in April.

3 There are a few key considerations worth
4 mentioning, which are new for this Investment Plan Update.
5 I'll briefly summarize each of these issues now and provide
6 more detail while discussing the individual allocations.

7 The first is the upcoming California Sustainable
8 Freight Action Plan, which is a joint effort among several
9 state agencies to improve the California freight system.
10 The Low Carbon Fuel Standard was also readopted at an ARB
11 Board meeting in September, which updated many of the
12 carbon intensity values for the fuels we deal with.

13 One of the most notable updates was to the carbon
14 intensity of fossil natural gas, which is now quite a bit
15 higher than previously assumed. In addition, the first low
16 NOx engines for natural gas trucks were also certified by
17 ARB in September and we're fortunate to have a
18 representative from Cummins Westport on the phone who will
19 provide a presentation about these engines a little later
20 on.

21 Finally, the 2015 Annual Evaluation of Fuel Cell
22 Electric Vehicle Deployment and Hydrogen Fuel Station
23 Network Development Report was released earlier in the year
24 by ARB. This report provides guidance to the Energy
25 Commission for continued deployment of hydrogen stations.

1 This slide provides an overview of the structure
2 of the Investment Plan. As you can see, the program covers
3 nearly the entire supply chain for alternative fuels from
4 production, to distribution infrastructure, to vehicles.
5 The remainder of this presentation will follow this
6 structure as well.

7 The first category in the Investment Plan is
8 Biofuel Production and Supply. The ARFVTP defines biofuels
9 as non-petroleum diesel and gasoline substitutes and
10 biomethane. We have a sizable allocation for biofuels,
11 because of their large potential to reduce greenhouse gas
12 emissions and petroleum use.

13 This chart shows the revised carbon intensity
14 values for a few different biofuels and pathways in order
15 to illustrate their potential. These revised numbers were
16 part of the recently readopted Low Carbon Fuel Standard and
17 show substantial greenhouse gas emission reductions when
18 compared to their fossil fuel counterparts.

19 Biofuels also provide a near term opportunity to
20 reduce petroleum use. And on a related note Governor Brown
21 stated a goal of reducing statewide car and truck petroleum
22 use by up to 50 percent by 2030 during his 2015 Inaugural
23 Address.

24 To date, our program has awarded almost \$140
25 million to 49 biofuel production projects covering most

1 biofuel types. The projects span various states of
2 technology development ranging from pilot scale production
3 scale operations to full commercial scale production
4 facilities with an increasing number of projects completing
5 construction and beginning operations.

6 For fiscal year 2016-2017, we are proposing to
7 maintain the biofuel production and supply allocation at
8 \$20 million. This year's Investment Plan Update continues
9 to leave these funds open to multiple fuel types and
10 development stages. Future projects may be required to
11 provide greater benefits per dollar awarded or may need to
12 utilize more advanced pathways or feed stocks. This would
13 be meant to encourage more advanced projects, which are
14 likely to have great potential, but have not yet been
15 funded by our program.

16 Examples of these might include renewable
17 gasoline production or projects which utilize underutilized
18 feed stocks such as woody bio-mass.

19 Also, one of the big stories with plug-in
20 electric vehicles this year is that we hit 150,000 vehicles
21 sold in California in August. To put that in perspective
22 it took nearly four years to sell 100,000 PEVs in the
23 State, which began in December 2010 and achieved that
24 milestone in August 2014. It then took only 12 months to
25 sell the next 50,000. So the number of PEVs on California

1 roads is steadily increasing as illustrated by the lower
2 green line in this graph.

3 The sales pace may also accelerate further over
4 the next couple years as several new or redesigned next-
5 generation PEVs hit the market such as the Chevrolet Volt,
6 Nissan Leaf and Tesla's Model XN3. Continued investment in
7 charging infrastructure will be needed to keep pace with
8 the ever increasing number of PEVs on the road.

9 This chart shows the number of charging stations
10 the ARFVTP has funded as of September. To date, we've
11 awarded over \$40 million to install over 7,500 chargers
12 with a little more than half of these being at single-
13 family residences and the remainder at multi-unit
14 dwellings, commercial buildings, work places, fleets and
15 the like. Unfortunately, this isn't where we really need
16 to be to achieve the goals of the ZEV Action Plan.

17 This next chart shows the estimated number of
18 additional chargers needed statewide for 2017 and 2018, in
19 order to meet these goals. The analysis provides two
20 scenarios. The first being a home-dominant scenario, in
21 which the majority of charging occurs at an owner's
22 residence resulting fewer required public chargers. The
23 second scenario is the high public access scenario which
24 assumes the majority of charging occurs away from home and
25 requires more public chargers.

1 These two scenarios can be views as a lower and
2 upper-bound of the number of additional public chargers
3 that were estimated to be required. The actual number, of
4 course, will be determined by market forces and will most
5 likely fall between these two estimates.

6 Even so, this analysis suggests tens of thousands
7 of additional chargers are needed within the next two to
8 three years. Since the market and business models for
9 public chargers are not yet fully mature, we expect a
10 significant number of these will require State funding.

11 Going forward, we are proposing to maintain the
12 allocation for electric charging infrastructure at \$17
13 million. In the future, there may be more of an emphasis
14 on chargers at multi-unit dwellings and fast chargers, both
15 of which have been relatively underserved compared to other
16 charger types.

17 There are, of course, some other large EV charger
18 projects in the State, one of those being NRG's EVgo
19 charger network. And also, the proposals for investor-
20 owned utilities, which are currently under review by the
21 CPUC. Despite this, we foresee a strong need for ARFVTP
22 funding since the aforementioned projects are far more
23 limited in scope and geographical area.

24 We've had some significant developments with
25 hydrogen refueling stations and vehicles over the past year

1 as well. Right now, 13 ARFVTP-funded hydrogen stations are
2 operational. To put this kind of in perspective when we
3 finalized the Investment Plan Draft Staff Report just a few
4 weeks ago there were only two open. So the rate of station
5 deployment is certainly picking up.

6 In addition, Hyundai's Fuel Cell Tucson SUV has
7 been on the market for awhile now and Toyota just released
8 their Mirai Fuel Cell Sedan last month. ARB also released
9 that second AB 8 Annual Evaluation Report in July, which
10 details the need for additional hydrogen refueling stations
11 over the next three years by analyzing DMV data, auto maker
12 projections, targeted areas and station coverage.

13 Energy Commission staff also used these
14 recommendations in this report to develop the priority
15 areas and purpose for future hydrogen fueling station
16 deployment.

17 One of the major issues in this year's report is
18 the projected shortfalls in hydrogen fueling capacity. In
19 the graph on the screen the middle purple bar represents
20 the projected station capacity as of 2015, going forward to
21 2021, measured in the number of vehicles which can be
22 supported.

23 The dashed red line represents the number of
24 hydrogen fuel cell vehicles projected to be on the road.

25 So as you can see, the report is projecting

1 statewide hydrogen refueling capacity shortfalls as soon as
2 2021. What's not shown on this graph is that the report
3 also projects localized capacity short-falls in certain
4 regions as soon as 2018.

5 We're proposing to continue with a \$20 million
6 allocation for hydrogen refueling infrastructure, which is
7 the maximum allowable under Assembly Bill 8, and is
8 consistent with the recommendations in the 2015 Annual
9 Evaluation from ARB. This should be enough for funding for
10 seven or eight stations, plus ONM support.

11 The operations and maintenance funding is needed
12 to support the business case of station developers since
13 the deployment of hydrogen vehicles is still in the early
14 stages.

15 Because the Annual Evaluation Report is
16 projecting capacity shortfalls, even with the maximum \$20
17 million allocation for hydrogen, Energy Commission staff
18 will discuss these issues with ARB and stakeholders to
19 ensure that the available funding is used as effectively as
20 possible -- and also to find ways to increase fueling
21 capacity.

22 For natural gas fueling infrastructure, the
23 majority of private fleets are able to access capital to
24 pay for station costs. Given this the Investment Plan will
25 continue to prioritize natural gas fueling infrastructure

1 funding to school districts and other municipal public
2 fleets which have restricted access to capital.

3 For the upcoming fiscal year staff is proposing a
4 \$2.5 million allocation for this category, which is reduced
5 when compared to fiscal year 15-16. The relatively large
6 allocation last year was meant as an opportunity for school
7 districts and municipal governments to upgrade out-of-date
8 infrastructure and was not meant to continue at the same
9 level indefinitely. We do believe that this year's
10 allocation will be adequate to meet demand.

11 Staying on the topic of natural gas there have
12 been a number of new issues, which have come up over the
13 past year. The first of which is the price of petroleum,
14 which has dropped dramatically since 2014. And as a result
15 has hampered the economics of natural gas. While the
16 diesel gallon equivalent price of CNG has remained about
17 the same, the price per gallon of diesel fuel has dropped
18 from about \$3.90 per gallon, in April 2014, to \$3.03 per
19 gallon just 12 months later.

20 This reduced the positive price difference of CNG
21 by two-thirds to about 40 cents per diesel gallon
22 equivalent. And, in fact, as of last week the average
23 price per gallon of diesel fuel in California was down to
24 about \$2.70 per gallon, which is essentially on par with
25 the reported price of compressed natural gas from April.

1 Another major issue effecting natural gas is
2 revised carbon intensity numbers from the re-adoption of
3 the Low Carbon Fuel Standard, and the switch in models to
4 CA-GREET 2.0. The revised numbers calculated with this new
5 model are higher than previously believed and now show a
6 reduced benefit, compared to diesel.

7 When we first started this program, the best
8 numbers available suggested fossil natural gas reduced
9 greenhouse gas emissions by about 30 percent, compared to
10 diesel. Last year, it was assumed to have a 15 to 25
11 percent benefit. Now these new carbon intensity numbers
12 are showing a carbon benefit of only 15 percent for fossil
13 CNG and no benefit for fossil liquefied natural gas.

14 Despite this, we do see a valuable role for
15 natural gas vehicles going forward. Although fossil CNG is
16 now only showing very modest greenhouse gas emission
17 reductions, biomethane CNG is still estimated to reduce
18 carbon intensity by up to 50 to 125 percent below that of
19 diesel, depending on the pathway used.

20 In addition, low NOx engines are expected to be
21 made available for purchase as soon as the second quarter
22 of 2016. These engines are certified to have nitrous oxide
23 emissions 90 percent lower than the existing standard for
24 diesel engines.

25 In September, a Cummins Westport 8.9 liter

1 natural gas engine became the first to be certified for
2 this low NOx standard. The emission technology used in the
3 engine is also scalable to the 6.7 liter and 12 liter
4 models. So we're hopeful Cummins Westport and other
5 manufactures continue to develop and release these low NOx
6 engines for a wide variety of medium and heavy-duty vehicle
7 applications.

8 Looking ahead, these low NOx engines may be a
9 primary method of achieving the future ambient air quality
10 standards in non-attainment areas.

11 When biomethane fuel and low NOx engines are
12 combined the life-cycle vehicle emissions are near or equal
13 to those of an equivalent zero emission battery or fuel
14 cell electric vehicle. So we think that these two
15 technologies have quite a bit of potential for the
16 California transportation sector.

17 For fiscal year 2016-2017 we are proposing
18 maintaining the allocation for natural gas vehicles at \$10
19 million. Although there are some new concerns with fossil
20 CNG there are also some new opportunities and possibilities
21 with other technologies.

22 Going forward, the ARFVTP may consider limiting
23 vehicle incentives to low NOx engines, if an appropriate
24 low NOx engine is available for the specific vehicle type
25 and weight class. We may potentially target vehicle

1 purchases for fleets, which combine both low NOx engines
2 and biomethane fuel use as well.

3 This next category focuses on the demonstration
4 and scale up of advanced technology medium and heavy-duty
5 vehicles. As you can see, from the statistics on this
6 slide these vehicles account for a small number of the
7 total vehicles on the road, but have a disproportionate
8 impact on greenhouse gas emissions making them a tremendous
9 opportunity to help meet the State's climate change goals.

10 That said, we're dealing with a broad range of
11 vehicle weight classes and purposes, each with their own
12 specific power train needs, which require unique solutions.

13 Perhaps the biggest issue affecting this
14 category is Executive Order B-32-15, which requires
15 numerous state agencies, including the Energy Commission to
16 develop a Sustainable Freight Action Plan. The plan is
17 meant to improve freight efficiency, transition to zero
18 emission technologies, and increase the competitiveness of
19 California's freight system. The ARFVTP is expected to
20 play a part of carrying out the Sustainable Freight Action
21 Plan.

22 We have included some modifications to this
23 category, both the support sustainable freight activities
24 and expand the reach of eligible project types. This may
25 include allowing refueling infrastructure as an eligible

1 expense whereas in the past it could only be counted as
2 match share.

3 We may also target specific freight corridors
4 with comprehensive projects, which integrate advanced
5 technologies, alternative fuels, infrastructure and local
6 economic development opportunities.

7 Finally, non-propulsion technologies may also be
8 targeted, which for example may include autonomous vehicle
9 demonstrations or intelligent transportation systems.

10 For the coming fiscal year staff is proposing to
11 increase this allocation to \$23 million to support the
12 upcoming sustainable freight activities and possible new
13 project types.

14 In addition, we noticed the previous solicitation
15 was significantly over-subscribed, in large part, because
16 of the higher differential costs associated with the
17 proposals we were receiving. These are now being submitted
18 for heavier class vehicles, more capable vehicles and more
19 advanced power trains.

20 Finally, I'm going to provide a summary of the
21 related needs and opportunities categories. These
22 allocations are meant to support alternatives fuels and
23 advanced technology vehicles beyond what is proposed in the
24 previous categories.

25 First is our emerging opportunities allocation,

1 which is set aside for project types, which weren't
2 anticipated during the Investment Plan development process.
3 In the past, this category has also targeted Federal cost
4 share projects to bring Federal grant money to California.
5 We're proposing an allocation of \$3 million for this
6 category based on historical demand for these funds and
7 balancing the needs of other allocations.

8 Our workforce training and development activities
9 are continuing with interagency agreements with the
10 Employment Development Department and the Employment
11 Training Panel.

12 Energy Commission staff is also developing a
13 third agreement with the Alternative Transportation
14 Technology and Energy Center, the purpose of which is to
15 support the California Community College system. As you
16 can see in this slide this category has provided
17 significant assistance to trainees and businesses for
18 alternative transportation workforce needs.

19 For fiscal year 2016-2017, we are proposing a
20 \$2.5 million allocation, based on the anticipated needs of
21 these agreements.

22 Finally, we have a regional readiness category,
23 which helps local agencies prepare for and expedite the
24 deployment of alternative fuel vehicles. In our discussion
25 with local and regional governments we're seeing a

1 continued need for planning and implementation support this
2 year. So for the coming fiscal year we are proposing a \$2
3 million allocation for the regional readiness category.

4 Those are all the categories we are proposing for
5 funding in this version of the Investment Plan. We'll be
6 seeking feedback on these allocations, the Investment Plan,
7 and the program in general from all stakeholders. In order
8 to incorporate any comments into the Revised Staff Draft
9 we're asking to receive them no later than Monday, November
10 16th. We prefer to receive comments through the Energy
11 Commission's E-commenting system and there's a link to that
12 on this slide and in the workshop notice. We also accept
13 comments via email and regular mail and instructions for
14 where to send these are also in the workshop notice.

15 We are anticipating releasing the Revised Staff
16 Draft and the Investment Plan in advance of January 10th,
17 which is the deadline we have and are planning to hold a
18 secondary Advisory Committee meeting in late January with a
19 location yet to be determined.

20 This slide shows a summary of all the funding
21 allocations we are proposing in this draft of the
22 Investment Plan. I will leave this slide up during the
23 Advisory Committee discussion, which will begin
24 momentarily.

25 I can also answer any clarifying questions about

1 this presentation now. However, please hold off on any
2 questions or comments about specific allocations until the
3 discussion or the public comment period. Thank you.

4 Are there any questions -- Ms. Sekita?

5 MS. GRANT: Thank you, Jacob. Is it possible to
6 go back to another slide or are you wanting to leave it?

7 MR. ORENBERG: Sure.

8 MS. GRANT: To Slide 10?

9 I'm wondering, is it possible, or is there any
10 interest in looking at this breakdown in a more granular
11 level, so that -- basically I'm thinking that there's
12 certain areas that might be more home dominant or require a
13 more home-dominant system. There are some areas that maybe
14 have more multi-unit dwellings in it that might benefit
15 from having a strategy that's more high-public access?

16 And so, it might be beneficial to have -- I don't
17 know if the Energy Commission already has done this -- but
18 looking at more regionally or geographically to see what
19 types of areas might benefit from a more home-dominant
20 versus high public access or vice versa?

21 MR. ORENBERG: Okay. Thanks, Sekita. I think
22 I'm going to defer to Jim McKinney to answer that one.

23 MR. MCKINNEY: Yes, thank you Sekita. I think
24 that's a great observation and comment.

25 There is an entire report that goes with -- so

1 you're just really seeing the slide or the numbers rolled
2 up to their most aggregate level. But the tables that NREL
3 has put together are on a regional basis. And I think that
4 there's about 20 California cities that are identified with
5 recommended charger levels, both with the home dominant and
6 high public access amounts. So that is in there and we'd
7 be happy to work with you and help get you up to speed on
8 that body of work.

9 NREL is kind of queued up to do an update to
10 that. We've had some contracting challenges with DOE for
11 the next tech support contract. And we also need them to
12 finish the AB 8 Report before they can turn to this one.
13 But that is queued up for ongoing work with NREL.

14 MS. GRANT: Great. Thank you.

15 MR. ORENBERG: Yes, Steve?

16 MR. KAFFKA: Steve Kafka. So this pattern of
17 allocation of resources continues what I would consider the
18 tradition here of balancing investments across the range of
19 technologies, which I generally favor, because it's hard to
20 tell what will be the true winning technology in the long
21 run. You mentioned, however with respect to natural gas
22 fueled vehicles, that there have been changes in carbon
23 intensity associated with that, that nonetheless still from
24 your point of view, support investment in that technology,
25 which I would agree with.

1 However, I'm a feed stock person. And one of the
2 things that's always been of concern to me is with another
3 technology, which is a cool technology, which is fuel cell
4 vehicles. What does the Energy Commission consider to be
5 the feed stock for the hydrogen that powers those fuel cell
6 vehicles? And do you see at some point in the future any
7 firm motion that those feed stocks might come from
8 renewable sources and not, for example, compete with
9 compressed natural gas vehicle sources and so on.

10 MR. ORENBERG: Steve, I'm thinking this comment
11 might be more appropriate for the discussion when we hit
12 natural gas or hydrogen fuel infrastructure. And I'm
13 probably going to have to defer to someone from our
14 hydrogen team to answer that.

15 COMMISSIONER SCOTT: I will add, before we get to
16 that discussion, that we are thinking very much about how
17 renewables can help us generate more hydrogen. Especially
18 when you think about the situation that we're in, with some
19 over-generation of renewables in the middle of the day and
20 is there a possibility to take those -- you know, take some
21 extra wind or whatnot to run your electrolyzer to make the
22 hydrogen that could then go into a fuel cell electric
23 vehicle?

24 So we are very much thinking about how the
25 renewable electricity system starts to really fit in with

1 the transportation system and fits in with the natural gas
2 system as well.

3 MR. KAFKA: Thank you.

4 MR. MCKINNEY: Yeah. And Steve, I would invite
5 you to raise that again as we get into the kind of policy
6 discussions of these categories, because these new
7 technologies don't fit into the categories that have served
8 us quite well to date.

9 MR. ORENBERG: Any other general comments about
10 the presentation? Bonnie?

11 MS. HOLMES-GEN: Bonnie Holmes-Gen. I just have
12 a general comment that it's so incredibly important that
13 these incentives and this Investment Plan is well aligned
14 with the Sustainable Freight Strategy at ARB and the
15 Scoping Plan that is under way, under development. And I
16 appreciate all the framing that you have in here about that
17 is.

18 And I'm just wondering how you plan to continue
19 making sure as this plan is finalized, and as we go forward
20 -- we have all these processes going on simultaneously. I
21 believe the ARB presentation on sustainable freight is
22 coming up at their Board meeting. And the Scoping Plan
23 workshops are underway, but we have a lot of processes
24 going on next year. So which is how can we best make sure
25 that these plans are well aligned? And how can we help

1 with that?

2 MR. ORENBERG: As we continue to develop the
3 Investment Plan we will continue to coordinate with the
4 staff here at the Commission who deal with the Sustainable
5 Freight Action Plan to make sure that we are up-to-date and
6 in line with that plan. And if you or anyone else has any
7 suggestions or comments for how we could better do that, I
8 would invite you to submit them to the docket.

9 COMMISSIONER SCOTT: I'll note that we do have
10 our sleeves rolled up. We're working hand-in-hand with the
11 Air Resources Board on sustainable freight and also on the
12 Scoping Plan.

13 MS. HOLMES-GEN: And I know that. It's just so
14 important from -- to be continue melding these different
15 pathways to achieve our greenhouse gas goals and achieve,
16 of course, our criteria air pollution goals. And this is
17 just amazing work going on, both tracks there. And this is
18 an important key -- this incentive funding together with
19 GGRF to make all of these plans work.

20 COMMISSIONER SCOTT: Right. It might be a
21 perfect transition, too. I think we've got Andre Freeman
22 here with a couple slides on sustainable freight. Did you
23 want to do that now or you wanted to do that as part of
24 medium-duty/heavy-duty?

25 MR. ORENBERG: Actually, we're going to hold off

1 on that until after the medium-duty/heavy-duty discussion.

2 COMMISSIONER SCOTT: Okay. No problem.

3 MR. ORENBERG: Thanks.

4 MS. HOLMES-GEN: So is this the time to bring up
5 comments on electric vehicle infrastructure or
6 (indiscernible)

7 MR. ORENBERG: No. We would hold off on that.

8 MS. HOLMES-GEN: Thank you. Okay, all right.

9 MR. ORENBERG: Any other general comments?

10 Okay, well now --

11 MR. CARMICHAEL: Welcome. This is Tim. I'm just
12 saying welcome, because I know this is your first workshop
13 with us.

14 MR. ORENBERG: Thank you.

15 (Laughter.)

16 MR. CARMICHAEL: And we're a scary group, but
17 you'll get to like us over time.

18 MR. ORENBERG: Thanks, Tim.

19 So I think now, we will continue on to the
20 Advisory Committee discussion starting biofuel production
21 supply. Thank you.

22 MR. MCKINNEY: So again, Jim McKinney. So I'm
23 going to moderate the Committee and public discussions for
24 the remainder of the day. So the process we'll use is that
25 we will go through line-by-line here on the category.

1 Please turn your card up, so that I can know that
2 you wanted to speak to a specific topic. And I see Joe
3 already knows the process well and is ready to go. And so
4 we'll go -- the way this works we'll do Advisory Committee
5 members present, Advisory Committee members on the phone,
6 members of the public present, members of the public on the
7 phone.

8 Before we do this I forgot to say one thing in my
9 program summary presentation. So one of the, I think,
10 legacies that Randy Roesser will leave are a whole bunch of
11 new staff. So he and John Butler and Kyle Emigh were just
12 heroic in getting a major BCP approved this year. So thank
13 you Randy for that.

14 And I'd like to invite all the new program staff
15 who are sitting there -- I know a lot of your are back-
16 benchers -- but if you could just stand up, smile and wave.
17 I think that would be great, because we've got some
18 incredibly talented new staff here. Gee, there we go.
19 There we go.

20 (Laughter.)

21 Great. Welcome everybody. It's really --
22 there's just some tremendous intellects that have been
23 added to our program staff now.

24 COMMISSIONER SCOTT: And can I? I would love to
25 second that. We're so thrilled and delighted to have had a

1 chance to build up the capacity of our program just a
2 little bit with \$600 million and 500 projects. It's great
3 to have our new smart, dedicated, committed folks on the
4 team. So we're really happy to have them here. I hope
5 that you all will get to know them.

6 And since I'm making a plug for the Energy
7 Commission we do have a couple of additional positions that
8 are open. So if you are interested or if you know folks
9 that are interested please take a look at our list. We're
10 looking for folks who love to have their sleeves rolled up
11 and are dynamic and excited about transportation and
12 transforming transportation.

13 So, with that, I'll stop.

14 MR. ROSSER: And I would like to take credit for
15 hiring each and every one of them. Unfortunately, I
16 cannot, but what I can tell the group here is that our
17 supervisors in the unit, collectively got together and
18 developed a strategy to recruit.

19 We received something in the neighborhood 100 or
20 150 applications for a limited number of positions. They
21 interviewed several dozen, maybe four dozen people and the
22 folks you see in the audience here rose to the top.

23 So congratulations to those folks that are on
24 board with us. And as Jim and Commissioner Scott said,
25 we're very happy to have you here.

1 MR. MCKINNEY: Okay. With that let's start
2 today's Advisory Committee discussion, the staff
3 recommendations for funding.

4 So I'm going to recognize Joe and then Howard.

5 MR. GERSHEN: Hi, Joe Gershen. Tim beat me to
6 it, but welcome Jacob and thanks again. Welcome everybody
7 else. Thanks for all the hard work on this Commissioner
8 Scott and staff.

9 I do have some concerns that this plan might be
10 overly focused on potentially transformative technologies
11 and not enough on biofuels, biodiesel in particular,
12 obviously. These have been providing close to 90 percent
13 of the carbon reduction benefits to the ARFVT program to
14 date.

15 We continue to propose separating the biofuels
16 into separate silos or categories, one for diesel
17 substitutes, one for gasoline substitutes, and one for
18 biomethane. We also think that each of these biofuel
19 categories should receive funding allocations more
20 commensurate with the benefits that they're providing and
21 will continue to provide for years to come.

22 While we support the pursuit of transformative
23 technologies, and the benefits we hope they will provide,
24 we know for a fact that biofuels are actually providing
25 real benefits today and will continue to do so into the

1 future. So we think ARFVTP funding support for them should
2 be increased.

3 Additionally, we feel that future biofuel
4 solicitations and awards should focus on smaller innovative
5 technologies and the development of low carbon purpose-
6 grown energy crops and other feed stocks as well as helping
7 other existing productions facilities expand their
8 capacity.

9 Obviously, still remain concerned that this plan
10 doesn't contain appropriately robust and objective metrics
11 for evaluating budget allocations. We've discussed this
12 before -- setting up a separate panel -- but I'm not sure
13 that's actually getting any traction.

14 We note that diesel substitutes have once again
15 received approximately 10 percent of ARVTP funding since
16 its inception. But I want to point out that this category,
17 and biodiesel in particular, has been providing
18 significantly more than 10 percent of the program benefits.

19 We know, for example, that since inception of the
20 LCFS, the Low Carbon Fuel Standard, biofuels have provided
21 90 percent of all the credits generated in that program,
22 according to the ARB figures that I mentioned earlier.

23 Alternative diesel fuels alone have provided 32
24 percent overall, while electricity for example, has
25 provided just 2 percent.

1 We suggest that more funding should be provided
2 for alternative fuel and vehicle strategies that are
3 realistically going to contribute to achieving the 10
4 percent greenhouse gas reduction goals by 2020.

5 This Investment Plan Update has two tables, ES-1
6 and 2, which illustrate the amount of funds spent and
7 budgeted. To avoid misleading conclusions these tables
8 should be supplemented with additional tables, which show
9 the breakdown of all expenditures by fuel type, in my
10 opinion.

11 At first glance, looking at ES-1, it appears that
12 diesel substitutes received a fair proportion of funds,
13 however if all of the categories into which other fuel
14 types were separated were added together, it would give
15 them a much more transparent basis for comparison. When
16 this is done it becomes apparent that diesel alternatives
17 actually receive much less than electricity or natural gas.

18 At current, in-state biodiesel production
19 capacities -- a few facts and figures that I think you'll
20 find interesting -- current in-state biodiesel production
21 capacity of 59 million gallons a year. California
22 biodiesel producers have created hundreds of high-paying
23 green jobs in some of the most disadvantaged communities in
24 the State, while reducing over 610,000 metric tons of
25 carbon emissions from our atmosphere. This production

1 capacity is also equivalent to removing almost 140,000 cars
2 from California roads.

3 Preliminary estimates are showing that biodiesel
4 plants will contribute approximately \$350 million in
5 economic activity to California's economy in 2015. With
6 consistent support our industry can quickly increase in
7 state capacity to 200 million gallons a year, which would
8 generate \$2 billion in economic impact annually.

9 For every \$1,000 invested from ARFVT Program the
10 biodiesel industry can deliver close to 1,350 gallons of
11 ultra-low carbon diesel production per year, which in turn
12 would reduce 14 tons of climate changing carbon emissions
13 from our atmosphere. That's like taking over three cars
14 off the road for every \$1,000 spent. Additionally, based
15 on current market economics this \$1,000 investment would
16 generate recurring economic contributions of \$5,400 per
17 year.

18 And if we bring our in-state production capacity
19 up 200 million gallons a year it would be equivalent to
20 taking an additional 332,000 cars off the road and taking
21 an additional 1.4 million metric tons of carbon emissions
22 out of our atmosphere every year. All while creating
23 hundreds of high-paying permanent jobs in the State and
24 contributing \$2 billion to the State's economy.

25 In chapter three, alternative fuel production and

1 supply, we also note that once again no funding has been
2 allocated for biodiesel infrastructure. While we certainly
3 appreciate the past funding for new and expanded production
4 projects we'd like to point out that only about 16 percent
5 of major fuel terminal and rack locations around the State
6 offer storage and blending for biodiesel.

7 No matter how much capacity we have in the State,
8 we need to be able to blend the biodiesel in a majority of
9 distribution locations in order to increase overall
10 consumption. This will complete the distribution cycle and
11 get fuel into the widest possible market.

12 We feel that biofuels funding allocation should
13 be increased overall and that some portion of the extra
14 funding for biofuels should be allocated to expand existing
15 blending and storage at major fuel terminals and racks
16 around California. I think that's an important point.
17 We've missed the infrastructure for many cycles now for
18 biodiesel.

19 Look, we value the open dialogue and relationship
20 we have with the Energy Commission. We look forward to
21 continuing to communicate with staff. We hope this will
22 lead to even more meaningful funding allocations for the
23 biodiesel industry in the near future. Thanks very much
24 for all the hard work.

25 MR. MCKINNEY: Okay. Thank you, Joe. I wanted

1 to ask a couple of clarifying questions.

2 So I think as the Chairman, when he sat in these
3 meetings last year, would ask so if you do want to increase
4 the biofuels allocation are there other categories from
5 which you think it should come?

6 MR. GERSHEN: Yeah, and I can certainly address
7 that. I've not gone through it. We just put these
8 statements together in the last couple of months.

9 MR. MCKINNEY: I'm not trying to put you on the
10 spot --

11 MR. GERSHEN: Sure, sure.

12 MR. MCKINNEY: -- but I think that's the beauty
13 of the Advisory Committee and the circle that we have here
14 today is that it's a zero sum game. We all know that 100
15 million just is not enough to do what we need to do in the
16 State. We know that.

17 MR. GERSHEN: It's not. Right and we -- you
18 know, this goes back to the metrics discussion, which we've
19 been having obviously -- a little bit of the elephant in
20 the room -- for years now. And it's really a matter of
21 looking at it and saying, "Well, who's providing what
22 benefits according to what the goals are? And how should
23 we do that?"

24 And it seems like I think if you look at it, I
25 won't call out and point out anybody else, but I think if

1 you look at what biofuels is doing and in this case
2 biodiesel is doing -- if you look at that and say well, "Is
3 there is some percentage of that that should be funded
4 commensurate with that amount?" we think yes. And it's
5 way, way under what would be commensurate.

6 We're not even saying "equal to," just even half
7 would be kind of cool. But it's nowhere near what the
8 benefits are. And like I said biofuels are providing 90
9 percent of the benefit. And it's a little -- I mean, you
10 and I had a conversation I think last year about the fact
11 that biofuels are getting 20 percent, what's the problem?
12 Biodiesel is not getting 20 percent.

13 And so when you group the diesel substitute,
14 gasoline substitute, and biomethane together and call it
15 biofuels the question might be, "Well, if you're looking at
16 zero emission vehicle technologies like electric and
17 hydrogen why not group them together in the same group?"

18 Again, I'm not trying to cast stones or anything
19 like that, but it's a question of how to do it the most
20 fair way and what's going to get the best return on the
21 investment. Because you know investors, in a private
22 equity for example, would look a program and they'd say,
23 "Well, what's the return?" Each year they're going to
24 analyze it and say, "What's the return on the investment?
25 And where should we be reinvesting?"

1 And that's just something I think is important to
2 have -- you know, objective metrics rather than perhaps
3 expected benefits. It's more like, "Well, what are the
4 actual benefits?" So I think that's what we've -- several
5 of us on the Advisory Committee have been sort of lobbying
6 for and we've just not seen it yet.

7 MR. MCKINNEY: Okay, yeah. And thank you, Joe.
8 You've really been a champion for the metrics. And I
9 really appreciate you taking the time to calculate some of
10 those out and give us an idea of how you think those might
11 be applied here.

12 MR. GERSHEN: Yeah, and that's the goal in these
13 numbers in the second part of my discussion was, "Hey, here
14 are some real numbers and here is what it really looks like
15 out there." And then you guys obviously have the difficult
16 task of how to allocate the funds, but we're just saying,
17 "Hey, maybe a bit more for these categories."

18 MR. MCKINNEY: And my other clarifying question
19 was so in terms of the feed stock allocations, what is your
20 recommendation on that, say within the biofuels category?

21 MR. GOSHEN: How do you mean? You mean within
22 the different --

23 MR. MCKINNEY: Say within the different process
24 technologies we have: biogas, biodiesel, ethanol.

25 MR. GOSHEN: Yes, there's gasoline substitutes,

1 diesel substitutes, and then biomethane.

2 I think there's some also some really interesting
3 -- I mean I had suggested maybe some smaller innovative
4 technologies for funding.

5 No one's really addressed green crude, for
6 example. I mean, there's some really interesting
7 technologies out there that are capable or appear to be
8 capable of generating green crude from biomass or other
9 sources. And that green crude ostensibly can be dropped
10 into existing refineries, petroleum refineries. Obviously
11 there's some work to be done, some heavy lifting there, but
12 perhaps some of those need to be looked at.

13 And those would then -- you know, how do you look
14 at a pathway there? That's a whole other can of worms, but
15 if you're looking at a small refinery in the Central Valley
16 or anywhere in the State, or out of the State for that
17 matter, and you have green crude, some percentage of green
18 crude, that has a very low carbon intensity because it's
19 made from woody biomass or it's made from municipal solid
20 waste or whatever. And you can turn that through
21 hydrothermal liquefaction or some other technology like
22 that. It's going to have a very low carbon intensity would
23 serve to lower overall carbon intensity for the petroleum
24 pool here.

25 MR. MCKINNEY: Well, thank you. Thank you very

1 much, Joe, for your contributions.

2 MR. GERSHEN: Sure.

3 MR. MCKINNEY: So I think we're going to go
4 Howard, Erik and then Claire.

5 MR. LEVENSON: Thanks Jim. Before I make my
6 comments, I just want to laud the Commissioner and whole
7 team. You've done a great job again as always. It seems
8 seamless. It can't be, but way to go.

9 Thanks to Joe for queuing up that discussion.
10 It's great to follow that.

11 I want to -- of course, we'd all like to see a
12 lot more funding available for specific categories. And
13 I'd like to see that for the biofuels as well. But knowing
14 the constraints that you're under, from Cal Recycle's
15 perspective we can certainly support the recommendation
16 that you've got in the plan right now for continuing that
17 \$20 million for biofuels.

18 I do want to make one specific recommendation.
19 We've submitted a recommendation to the docket with a
20 number of other recommendations. But there's a statement
21 on page 34 of the draft that the goal should support pre-
22 landfill biomethane production and that the Commission
23 supports that and might consider prioritizing pre-landfill
24 biomethane in future solicitations.

25 And we'd like to recommend that you simply make

1 that prioritization part of the current plan. There's no
2 reason to wait given the Governor's five pillars. The
3 short-lived Climate Pollutant Policy that the Air Board has
4 got on its docket for adoption in December, our own
5 mandates on getting organics out of landfills, and of
6 course the Low Carbon Fuel Standard that's been renewed
7 recently.

8 Organics are moving out of landfills, making that
9 prioritization right now would be an additional part of
10 that whole effort. So that's our primary comment that I'd
11 like to make today.

12 MR. MCKINNEY: Okay. Thank you, Howard.

13 And let's see we had Erik?

14 MR. WHITE: Thanks, Jim. Certainly, we want to
15 echo some of the other comments. ARB supports the proposed
16 allocation. And we understand, as you do, that there's
17 never enough funding available to fund all the projects --
18 that need -- and essentially to Joe's comments that
19 additional monies are needed

20 But I think if you look at the balance that CEC
21 has made in the proposed funding amounts -- and we'll talk
22 about some of the other categories a little bit later -- I
23 think it's really important to recognize that you are
24 trying to achieve both near-term and immediate reductions,
25 but invest in long-term technologies that are going to

1 deliver those longer term benefits as well.

2 And I'm thinking in particular about some of the
3 medium and heavy-duty advanced vehicle technology
4 demonstrations that you have and are proposing to fund,
5 which we fully support you doing. And I think if you look
6 at the successes you've seen in that and the investments
7 you've made in conjunction with the South Coast Air
8 District, for instance, on bringing low NOx clean
9 technology natural gas engines to the marketplace is really
10 a true testament to the importance of continuing
11 substantial investments in those areas.

12 And if you look at our Mobile Source Plan,
13 there's been a lot of discussion about the Freight Plan,
14 the upcoming Scoping Plan there is a need for both clean
15 combustion and zero emission technologies in all the
16 transportation sectors moving forward. And so finding that
17 appropriate balance between fuels, and vehicle
18 technologies, and infrastructure is really important and we
19 think you've done a really nice job of finding that balance
20 with this plan.

21 MR. MCKINNEY: Great. Thank you, Erik.

22 Claire?

23 MS. JAHNS: Thanks for having me here. This is
24 an exciting discussion to be a part of. And I wanted to
25 echo some of Howard's comments and it was mentioned earlier

1 the need to potentially look at woody biomass, with a
2 renewed focus. And as an interesting example of a pathway
3 or a feed stock that can serve a waste reduction or waste
4 management goal, kind of pre-landfill diversion, as well as
5 producing vehicle fuels and natural gas for vehicles and
6 other uses. So I would just support that investigation
7 going forward.

8 The G4 technology was mentioned. This is
9 probably a little bit of a newer area with newer technology
10 that's being developed. But there's clearly a lot of feed
11 stock out there and the good thing is trees keep growing
12 whether or not they get planted actively. And so the
13 Governor's State of Emergency Declaration last week really
14 underscored the need, the kind of unprecedented need, we
15 have now to manage the volumes. But of course those
16 volumes will persist over time.

17 MR. MCKINNEY: Let's see, then I have Sekita, Tim
18 and then Steve.

19 MS. GRANT: Thank you. So yeah, I start out
20 echoing -- thank you, because obviously I know there's a
21 lot of hard work, a lot of expertise that goes into
22 creating this document even though it's just an update. I
23 know that this is a lot of effort on your team's part, so
24 thank you very much for the work that goes into this.

25 A couple of points that I wanted to make and then

1 I will add to my to-do list to do written comments as well,
2 but I wanted to call out the acknowledgement of the need
3 and interest in doing more creative financing, looking for
4 more creative financing mechanisms, to really leverage and
5 make this what's already been identified as a limited pot
6 of money go further. Particularly the project you all have
7 with the CPCFA. We're really excited to see that roll out
8 and potentially similar projects.

9 And absolutely giving a thumbs up to the program
10 outreach and inclusion section. We really appreciate your
11 team putting resources and time into thinking about that.

12 The program diversity slide that outlines the
13 priorities that you have, Commissioner Scott, is excellent.
14 I think it's reflected in this document. If not, hopefully
15 it will be.

16 I also wanted to speak a little bit to the
17 statement around multi-unit dwellings accounting for 40
18 percent of housing stock here in California, but only 4
19 percent of PEV owners reside in apartments or condos. And
20 we all know that this is a huge problem. It
21 disproportionately impacts low and moderate-income
22 communities and people of color. I want to acknowledge
23 that not only is the Energy Commission thinking about this
24 problem, but is doing so in a very solution-oriented way.

25 The expert adviser idea that you propose in this

1 -- I'd love to hear more about it. I think it sounds like
2 a great idea, similar to how the State addressed charging
3 infrastructure in other areas in working with Tyson Eckerle
4 and having an ombudsman to address those difficult
5 problems. I think it's very smart to go that route around
6 multi-unit dwellings, which has repeatedly through the
7 years been acknowledged as a huge barrier.

8 MR. MCKINNEY: Yeah. Sekita, these are wonderful
9 comments. As a friendly reminder we try to kind of
10 separate them by topic --

11 MS. GRANT: Oh, okay. Okay.

12 MR. MCKINNEY: So if I could ask you to save your
13 EV comments for that part of the Committee discussion that
14 would be great.

15 MS. GRANT: Sure, sure.

16 MR. MCKINNEY: Did you have anything more on the
17 biofuels?

18 MS. GRANT: On the biofuels piece, okay I'm
19 sorry. I got ahead of myself. No, I think that's it.

20 I'll save the other comments -- I think all apply
21 -- I guess some of them are kind of awkward, because they
22 don't necessary fit within a specific category.

23 But just -- and I think this was mentioned before
24 -- more transparency in terms what is being funded in or
25 out of disadvantaged communities would be really helpful.

1 And I have a couple more comments related to that kind of
2 transparency and data that I think will come about in the
3 related needs and opportunity section. Thank you.

4 MR. MCKENNEY: Okay, great. Thanks. And then
5 again welcome.

6 For those of you who don't know, this is kind of
7 a homecoming for Sekita, because she was the Chair's
8 adviser for many years and has now kind of come back full
9 circle, so it's great to have you hear.

10 Okay, Tim?

11 MR. CARMICHAEL: Good morning, Tim Carmichael
12 again.

13 I'm so glad Jim just mentioned that, because
14 Sekita, I recognized you the minute you walked in. I was
15 trying to place you, do I know you from Greenling? And
16 that just connected some dots for me, so thank you very
17 much.

18 So just on this point I wanted to make two
19 additional points. One is I agree with virtually
20 everything Joe Gershen said about the need for this
21 category to get more funding. And personally and
22 professionally, if I take a look at the spectrum of what
23 we're doing and where we're trying to go with alternative
24 fuels in California, I think one of the categories that we
25 are the weakest in today is in in-state biofuel production.

1 If you look at where the LCFS Program wants be in
2 2020 -- and I think it's a very achievable, admirable,
3 appropriate target -- we are not where we need to be with
4 in-state biofuel production. And each of the subcategories
5 has its issues. For biomethane, there's been a pipeline
6 access issue. For biodiesel, there's been questions about
7 "What can we do -- Is the blend wall real? What can we do
8 to address that, technically, for renewable diesel?"
9 There's a global supply question and how much can we get to
10 the California market if we don't produce it in-state?

11 But collectively, I think I'm on solid ground in
12 saying we're not where we need to be. And that's for me
13 the reason why this category needs to get more funding.

14 That said, there is an separate effort that some
15 people in the room are aware of and others may not be to
16 try and secure as much as \$210 million in GGRF funding for
17 in-state biofuel production. There was an attempt made
18 this year. It wasn't successful. That attempt is coming
19 back. The numbers might change. The strategy might
20 change, but there is that effort.

21 And one idea that I would suggest the Commission
22 consider, and this group consider, is upping this number to
23 \$25 million or something on that order -- a \$5 million
24 augmentation -- with an understanding that by summertime,
25 we should know if this other effort is going to be

1 successful. And there's flexibility written in to this
2 allocation that enables you to scale it back if that other
3 effort is successful.

4 So those are my immediate thoughts on this
5 category. Thank you.

6 MR. MCKINNEY: Thank you, Tim.

7 Steve Kafka?

8 MR. KAFFKA: Hi, thanks. Tim's comments and
9 Sekita's comments are actually a good prelude to what I
10 hope to say.

11 I'm very concerned about in-state production.
12 And I think that the potential benefits of in-state
13 production facility should be a particular focus and help
14 frame the thinking of staff here and in program review.

15 I thought it was very interesting the discussion
16 that went on around the State around SB 350. A lot of that
17 regulation to try to reduce petroleum use in the State as
18 part of a statute partly failed, and the oil industry
19 certainly was given a lot of credit for that. But part of
20 the reason it failed was because the benefits of the Global
21 Warming Solutions Act were not being seen in rural
22 communities in quite the same way.

23 So there was a heartbreaking review by Dan
24 Walters that points to the bifurcation, the economy in
25 California between coastal regions, which are doing quite

1 well and rural areas which are doing quite poorly in terms
2 of unemployment and other social benefits. So how are we
3 going to help those areas benefit more directly from the
4 ambitious program that the state has in AB 32 and then the
5 AB 118 Program?

6 And by building bio-refineries and energy
7 productions in rural areas, we really help transfer some of
8 those benefits in a very direct and real way. They can be
9 enormously productive economic investments in those
10 communities. But that means that feed stocks -- there are
11 advantages to feed stocks that are produced there.

12 So, for example, in the Investment Program on
13 page 24, you talk about renewable diesel. Well, renewable
14 diesel is a great thing. If you take fats, oils and
15 greases, convert them to biodiesel, that's great. But if
16 the State creates a program that essentially imports
17 renewable biodiesels from Asia, or wherever, maybe that's a
18 good thing for California, but it comes at a price, at a
19 cost. And why shouldn't those materials be produced where
20 they are used in the first place?

21 I mean, it's one atmosphere and why import them
22 selectively into California from other sources? So I think
23 that emphasizes the need to, in the allocation of funds to
24 projects, to emphasize in-state feed stock production and
25 in-state localized production.

1 One other area I would like to suggest that I'm
2 increasingly persuaded by -- partly this comes from recent
3 meetings at the Argonne National Lab in Chicago and Life
4 Cycle Assessment, there's increasingly powerful arguments
5 suggesting that higher alcohol blend technology goes a long
6 way to both reducing greenhouse gas emissions and meeting
7 the CAFE helping car buyers meet CAFE Standards. And it's
8 potentially a cheaper kind of technology and an easier
9 technology to implement and one that allows for lower cost
10 vehicles then for example high priced electric charge
11 vehicles. And for people again, with less funding
12 available to meet.

13 And it's really not part of either of ARB's
14 Program or it's not really ever mentioned here. And I
15 think it needs to be raised and at least addressed and
16 considered again, the notion of higher alcohol blends. If
17 you were at 30 percent alcohol blends and fuels, you're
18 almost all the way to the Governor's 50 percent petroleum
19 reduction goal with a fuel that we know is easy to produce.

20 And in fact the pathway for fueling would be just
21 simply raising octane blends at existing pumping stations.
22 So I think that needs to be at least thought about.

23 MR. MCKINNEY: Okay. Thank you, Steve. And I
24 think our Staff Assessment agrees that in terms of job
25 creation that biofuels is one of the better categories for

1 that. And because most of the plants are either in the
2 Sacramento or San Joaquin Valley that's really where that
3 type of economic benefit is going. So we fully agree with
4 that.

5 Let's see. We now have Chris?

6 MR. SHIMODA: So this is more of a clarifying
7 question for either Joe or staff. I know that biodiesel
8 blending infrastructure was included in prior versions of
9 the plan. Could you clarify or explain the thinking behind
10 -- I think it was either last year's plan or two years ago
11 -- that that funding was discontinued.

12 MR. MCKINNEY: How about I start, Joe, and you
13 can butt in?

14 That funding was actually discontinued several
15 years ago. So there was an initial call from industry to
16 do kind of bulk either tankage or blending infrastructure
17 for biodiesel fuels. And we put that out and a couple of
18 the awardees did not really follow through and they weren't
19 real aggressive in building out those projects. And we
20 also didn't hear any more from industry that that was a
21 kind of a critical part of the funding stream.

22 So we've held that to the present, but we can
23 turn to Joe, if you want to expand on your analysis for
24 Chris?

25 MR. GERSHEN: Sure. I think when I first joined

1 the Committee four or five years ago, I sort of complained
2 about this and we talked about the fact that it was under
3 subscribed. And I said well it wasn't really well known
4 that out there in the public. But as times goes by, you
5 know, certainly there have been some retail locations, but
6 where you're really going to see the needle moving is at
7 the distribution location for storage and blending.

8 We're not talking about necessarily building up
9 marine deliveries from out of the country or even rail from
10 out of the state, because I think it's important to focus
11 on in-state production and distribution infrastructure.
12 It's sort of three legs of the stool: it's the production,
13 distribution and then retail.

14 But certainly, you have to have production and
15 distribution infrastructure. And so currently there are
16 about 75 major fuel terminals and racks around the State.
17 About I think ten of them are capable of storing and
18 blending biodiesel right now. That's about 15-16 percent.

19 I think -- and I don't want to tread too much
20 here into the policy stuff, but I think there's been some
21 reticence to work with the petroleum industry. You know,
22 things like, "Well, the petroleum industry doesn't need
23 money," and that's true. They have their own money, but
24 the questions is the signal that you send to the petroleum
25 industry who are storing, blending and distributing these

1 biofuels.

2 There needs to be some way to work with them and
3 get those terminals. They have to see a return on their
4 investment if they're going to do it. Or some sort of help
5 or some signal from regulators in the State that says "Hay,
6 we want you to blend these fuels, these biofuels. These
7 low carbon." In many cases, most of the producers in the
8 state are very low carbon producers. And so we want to see
9 infrastructure so you can blend and distribute the stuff.

10 That's how you're going to move the needle. And
11 that's what we're saying needs to start happening again.
12 There needs to be some funding for some of that to -- I'm
13 going to call it for lack of a better pun -- priming the
14 pump. I think that'll really prime the pump.

15 MR. MCKINNEY: Okay. Thank you Joe.

16 And I think it would be most useful for staff to
17 have really specific recommendations from that industry
18 segment. You know, why is this needed? What's the ask?
19 What's the request? What type of equipment?

20 And in terms of the petroleum industry, I think
21 with the revision of our 3103 Funding Regulations and
22 Prohibitions, that might make for an interesting
23 conversation.

24 MR. GERSHEN: Yep, I agree. And I can help with
25 that.

1 MR. MCKINNEY: Okay. Now I want to turn to --

2 COMMISSIONER SCOTT: Brian?

3 MR. MCKINNEY: I'm sorry, thank you.

4 Okay, Brian?

5 MR. GOLDSTEIN: Hi. It's Brian Goldstein from
6 Energy Independence Now. I'd like to make a comment
7 directed toward the greater funding category for
8 alternative fuel production. If this isn't the right time,
9 please correct me, but it's relative to renewable hydrogen.

10 And before making comments Commissioner Scott had
11 mentioned that there is some work going on to take a look
12 at the role of renewable hydrogen relative to this year's
13 funding allocations. Would you mind providing a little
14 information on that?

15 COMMISSIONER SCOTT: It wasn't actually specific
16 to this year's funding allocations, but it is something I
17 think of it more as in the Integrated Energy Policy Report
18 realm where we're thinking about how our electricity system
19 with the amount of over-gen that it has, has the great
20 potential to make renewable hydrogen for us. Hydrogen can
21 go, as you know, into the either the natural gas pipeline
22 or into vehicles.

23 And so we have been thinking in part of the
24 Integrated Energy Policy Report -- as we're kind of
25 thinking about where is the State going and how does the

1 natural gas, electricity, transportation systems are all
2 kind of starting to fit together a little bit -- we're
3 thinking about it in that way. Maybe not so specifically
4 as "Oh, I've got a project in mind to fund through one of
5 these allocations."

6 MR. GOLDSTEIN: Okay. Thanks for clarifying.
7 You know, I noticed -- and this topic kind of bridges the
8 alternative fuel production infrastructure and possibly
9 related needs and opportunities -- so I'll try to keep it
10 short because I'm sure there's going to be plenty of time
11 to talk under these other categories.

12 But I noticed that the carve-out for renewable
13 hydrogen was changed a little bit under the infrastructure
14 PON. And I'd like to suggest that more research is needed
15 on the topic as to what policy and market drivers and
16 funding mechanisms would be appropriate to address the
17 topic.

18 It's tough for me to sit here and say, "Hey, we
19 should allocate \$3 million for alternative fuel production
20 -- in the alternative fuel production category to
21 hydrogen," without saying that I think the research is
22 necessary ahead of time to do that. So there are issues, I
23 understand, with if its onsite production would that go
24 under the infrastructure category? If it's simply
25 research, would that go under related needs and

1 opportunities? But I thought it's kind of spread evenly
2 across so many categories I'd bring it up here and then if
3 there's a more appropriate time to discuss the matter,
4 please let me know.

5 MR. MCKINNEY: Yeah. Brian, I'm going to suggest
6 that we really kind of put that in the hydrogen discussion,
7 although its formally its infrastructure. But I think
8 that, that might be a good way to help focus discussion on
9 the topic as well.

10 MR. GOLDSTEIN: Great. Thanks, Jim.

11 MR. MCKINNEY: Okay. Thank you.

12 I see no more -- if you could put your name plate
13 down there Brian?

14 So no more Committee comments at the table, so
15 we're going to turn to the phone -- I don't know who was
16 first, so I'll just take these in the order that I have
17 them -- so Simon Mui, from NRDC. Is he available Andrew?

18 MR. MUI: Yes, I'm on.

19 MR. MCKINNEY: Good morning, Simon.

20 MR. MUI: Can you hear me?

21 MR. MCKINNEY: Very well.

22 MR. MUI: Hi. Good morning. I've actually been
23 on for about an hour-and-a-half and finally figured out how
24 to connect via audio to put in comments. But I'm sorry I
25 can't be with you today.

1 I did have some comments on the alternative fuel
2 production side. And it might be related actually to the
3 earlier comments about oversubscription.

4 One of the things that is actually in the plan,
5 the proposal, but not necessarily pulled out explicitly is
6 sort of the amount of oversubscription to different
7 categories. And I think just as a Committee member, it
8 would be great to have that sort of side-by-side to the
9 proposed funding allocation. Just so that we understand
10 how the previous years, funds have been encumbered and
11 requests have been made.

12 But in general, I think I'd like to sort of echo
13 earlier comments about -- as the GGRF sort of funding
14 discussions and the budget come into play, I think it's
15 important, particularly for CEC to continue be nimble in
16 terms of the funding as other buckets come in, so that we
17 are in keeping with the overall sustainable cycles and the
18 air quality and GHG goals.

19 Certainly we're also aware of (indiscernible) the
20 GGRF side to -- that could help meet these enormous needs a
21 cross the board. And to the extent that CEC is looking at
22 that and keeping an eye on that, but also maybe coming back
23 if needed to adjust those appropriately I think that is a
24 good idea.

25 Just in terms of the biofuels, we certainly

1 appreciate CEC's effort around this area. I think,
2 obviously, in all of these categories needs exceed the
3 availability of funds. We certainly have been supportive
4 focusing on ultralow carbon feed stocks, particularly those
5 in California. We think that's consistent with a Low
6 Carbon Fuel Standard, focusing on sustainable low carbon
7 feed stocks that are low in CI numbers. And so with that,
8 I will conclude my comments.

9 MR. MCKINNEY: Okay. Thank you, Simon. And I'm
10 glad you could join us by phone. I think it's pretty easy
11 to add those oversubscription rates to the Investment Plan.
12 And I know that's not hard to do, so I think that's a good
13 suggestion.

14 And I think just to echo a little bit what you
15 were saying about very, very low carbon fuels, really most
16 of our investments in biofuels goes to waste-based feed
17 stocks and so we're very pleased with that. So several
18 years ago, the debate was kind of food versus fuel and
19 purpose-grown energy crops in California in what might the
20 impact be? And what might the international indirect land
21 use impact be? And I think we've really moved away from
22 that by focusing on the waste-based feed stocks in here in
23 California.

24 And the California Bio Mass Collaborative does a
25 great job every year of summarizing the feed stock volumes

1 that might be available.

2 And, let's see, I want to turn to John Shears.

3 Are you there John?

4 MR. SHEARS: Hello, good people. Can you hear me
5 okay?

6 MR. MCKINNEY: Very well, go ahead, John.

7 MR. SHEARS: Sorry, my apologies as well for not
8 being able to be with you this morning.

9 First, I'd like to offer my kudos to the staff
10 and to Charles Smith for providing the template for an
11 excellent draft report.

12 My comments at this moment relate to the issue
13 earlier of pre-landfill methane and the short-lived climate
14 strategy that's being developed with CARB as the lead
15 agency on that -- raises the issue of insuring the work
16 under the AB 8 Program stays coordinated with these other
17 programs that are sort of being developed through other
18 lead agencies, but I know that the Energy Commission is
19 partnered on those efforts.

20 And the draft plan that was out for comments has
21 recommended using the 20-year GWPs for methane, so this
22 cuts across both biomethane and the natural gas issues.

23 And so probably, it's a good thing, going forward
24 to be using maybe at least two metrics in terms of GWP 100
25 and GWP 20. In keeping aligned with the short-lived

1 Climate Pollutant Strategy and the role methane plays in
2 that role. I know the LCFS is still going to be working
3 with GWP 100 going forward.

4 And then both CARB and the Energy Commission
5 maybe should work out a mutual strategy on how to handle
6 methane sort of in the various guises in terms of how it
7 should be scoring the greenhouse gas reductions relevant to
8 whether credits that are being generated or the appropriate
9 scoring for funding under projects. So I just wanted to
10 highlight that.

11 You know, in amongst all of these other tensions
12 that the AB 8 Program has in terms of managing all of the
13 demands across all of the different fuel pathways and other
14 programs that it's trying to support, we now have this
15 other added tension of what the appropriate metric will be
16 going forward in terms of the natural gas, biomethane
17 space. So I just wanted to highlight that issue and get us
18 thinking in that space. So thanks.

19 MR. MCKINNEY: Great. Thank you, John.

20 Are there any other comments on biofuels from
21 Advisory Committee members here in the room or on the
22 phone?

23 Seeing none, I'd like to -- see, I don't have any
24 blue cards from public in the room. So if there's anybody
25 from the public that wishes to speak to this? I see a

1 hand; if you could approach the microphone here at the
2 corner and identify yourself please?

3 MR. PRIDE: Good early afternoon. I'm Joe Pride.
4 I'm with Wooster Engineering and the Stone Edge Farm
5 Microgrid Project.

6 And I'm of the belief that hydrogen does need a
7 presence in the alternative fuel category. But it's -- as
8 you've all touched on -- a very finicky category as it sort
9 of bridges between infrastructure, related needs, energy
10 storage, transportation, all these things, but there's
11 definitely an interesting possible nexus there.

12 One of the areas that we've been exploring and
13 building at Stone Edge Farms has been hydrogen energy
14 storage. But in the bigger picture, in the microgrid
15 world, a lot of us want to have the ability to oversize our
16 solar, because there are conversion losses if you want to
17 move it from one time of day to another. So you want to
18 have some extra to play with.

19 The utilities don't want to let you do that. And
20 if you look at the distributed resources plans from the
21 three major utilities they want the ability to curtail your
22 solar. What we would like to be able to do is curtail it
23 to hydrogen and have the ability, of course, to fuel it
24 onsite for ourselves. But we're also interested in the
25 development of a 100 percent renewable hydrogen after-

1 market where there is the ability to sell to a gathering
2 company or fuel on your property, have marketplaces --
3 these sorts of opportunities where you have hydrogen as an
4 alternative to kilowatts as an economic output from
5 microgrids.

6 I believe that for these reasons, a marketplace
7 facilitation probably has a place under related needs and
8 opportunities, but that hydrogen definitely should have a
9 place in the alternative fuel production category. Thank
10 you.

11 MR. MCKINNEY: Can you repeat your name and
12 affiliation again, please?

13 MR. PRIDE: Yes, Joseph Pride with Wooster
14 Engineering, which is a small firm that probably nobody
15 here has ever heard of. And the Stone Edge Farms Microgrid
16 Project, which is a privately funded project that pretty
17 much lets us build things other people are talking about.
18 And we've already built a lot of it and our hydrogen
19 equipment went in last weekend.

20 MR. MCKINNEY: Great. Thank you and welcome to
21 our process here.

22 MR. PRIDE: Thank you.

23 COMMISSIONER SCOTT: Let me add for our public
24 commenters, if you would give a business card to our
25 reporter right there? He's the one who's kind of making

1 the transcript. That way he'll be sure to get your name
2 and title and organization correct. That'd be awesome,
3 thank you.

4 MR. MCKINNEY: Yeah, and for those of you new
5 here, if you can fill out a blue speaker's card that's
6 really helpful to us and it's a way for us to track who's
7 present here today.

8 So former Commissioner Boyd, did you want to
9 speak to this topic?

10 MR. BOYD: Thank you, Jim and hello everybody,
11 greetings to a lot of old friends here.

12 MR. MCKINNEY: It's good to have you back.

13 MR. BOYD: And a lot of new folks too, so sorry I
14 didn't get my card in quicker, but I presuming I was in the
15 2:00 o'clock with everyone else. So not topic by topic,
16 but wanted to address was in the biofuels area, which
17 probably doesn't surprise some people up here since I've
18 been at it for oh, 25 or 30 years, in the whole quest for
19 alternative fuels and biofuels.

20 As I sat here today I amended the notes that I'd
21 written myself earlier today. I've already heard, from the
22 discussion around this table, calls for more attention to
23 other alternative fuels. And, of course, in that are
24 biofuels. And then I just heard a moment ago something
25 that's always been a thought of mine. Alternative fuels

1 include hydrogen, renewable hydrogen is tied -- like
2 renewable natural gas is tied to this whole circle of
3 connecting all the dots about what the source fuels might
4 be.

5 So and the talk about that there are some current
6 high payoff strategies that are underfunded, which I choose
7 to interpret as meaning they're not receiving and deserved
8 attention, I think is a very valid point and a concern.

9 And while Mr. McKinney asked somebody to say who he'd take
10 money away from in order to fund his priority I don't think
11 that's a fair question to ask of the members of this group.

12 I think the policy people at the Commission have
13 to absorb everything they hear and balance it with all the
14 other policy documents that exist in this state and
15 pronouncements of the Governor. And there are many now and
16 you really need to sort out what's in the IEPR, what's in
17 the Bioenergy Action Plan, what's in all the climate
18 strategies, what the Governor has done by Executive Order.
19 And try to figure out short-term, mid-term, and long-term
20 payoff items.

21 And I do think the biofuels area, in total,
22 deserves more attention. And I was pleased, as I noted to
23 myself, to hear more and more people talking this way.
24 Because while I've heard this over the ten years I was
25 here, we're hearing more of it now.

1 Sources of biofuels are frankly, rife with major
2 problems in this state. And these are problems to and for
3 California to address. And they can be addressed or even
4 mitigated by the use of these same resources for things
5 like what we're talking about today, energy and fuel. Thus
6 not only meeting economic and employment goals, but all the
7 goals that I've seen on the screen today about what are the
8 goals you're trying to get your projects to address?

9 And to meet all the goals that I mentioned are
10 out there that you have to try to balance with the
11 decisions that you make for an ultimate plan.

12 You've got to recognize also this plan, when it's
13 funded is a policy document that others will look to as a
14 statement of the policy of the State. And while you may
15 not have adequate dollars to put what everybody wants in
16 various categories, I think you need to readdress the
17 importance of some of these areas as maybe more short-term
18 areas.

19 And I came here to speak for myself, just as
20 somebody who's genes pull me into this meeting every year
21 or these meetings. I could've been over at the Air Board
22 or I could've been up at Lake Tahoe with Tahoe Fun Board,
23 but I chose you folks. So this is near and dear to my
24 heart.

25 And as I read through the report, and I looked at

1 the gasoline substitutes area, which of course is a very
2 broad area and many of us would like more transparency to
3 see what do you really mean and where are you putting the
4 effort? I'm going to say a very heretical thing, now that
5 I've said in a couple of other forms in the last six months
6 that once again I'm overwhelmed with electricity and
7 hydrogen.

8 The tremendous investment and the tremendous
9 emphasis, the emphasis is deserved, the investment is if
10 deserved if you just have unlimited funds. But you don't
11 have unlimited funds and you also have to start thinking
12 more and more about near-term, mid-term and long-term.

13 Now, hydrogen and electricity -- don't get me
14 wrong. I mean, you know, the ZEV mandate was done on my
15 watch at the ARB. I chaired the Plug-in Electric Vehicle
16 Collaborative for my first year of retirement as the only
17 civilian chairman it's ever had. I'm a charter member of
18 the Fuel Cell Partnership etcetera, etcetera. But you've
19 got to strive for balance and you've got to strive for
20 payoffs.

21 And your Governor has made a lot of
22 pronouncements about the need to reduce dependence on
23 petroleum and solve climate change and let us never forget
24 criteria air pollution, which carried us for decades into
25 this arena. And you've got to recognize the signals that

1 you send.

2 So I'm here both as a citizen who has spoken to
3 the broad issue of need for more attention to biofuels, and
4 from the California waste stream. And while Jim said there
5 was an over-concern and infatuation with food versus fuel,
6 to the best of my memory that was never the total intent of
7 the Energy Commission in pushing these commodities as a
8 source for energy.

9 I mean, we had to inherit corn as a food for
10 fuel, but I think we always said that's a near-term thing
11 and you have to deal with it. And as some of you know, the
12 Commission got punished pretty hard or disciplined heavily
13 by trying to actually help California corn ethanol
14 activities, which you finally got passed and can do.

15 In any event, the waste to energy is the big
16 thing. It's always been the big thing and you need to pay
17 more attention to that. It just addresses so many issues.

18 The forest fire issue, I thought when we had the
19 Angora fire ten years ago at Tahoe we'd get some action.
20 And then we've had fire after fire and we are just barely
21 getting attention to all the forest fuel problems that
22 could be used for energy and have been in some cases. That
23 would mitigate fire, that would address watershed
24 protection and water yield in these days of a lack of
25 supply. And so on and so forth with the health of the

1 flora and fauna in the forest.

2 And the same thing goes for ag waste and urban
3 waste. And lord knows how we've talked about that down
4 through the decades. So that's my general overall citizen
5 here.

6 Now, secondly I want to address you for an
7 organization that I'm now associated with called the Fuel
8 Freedom Foundation. It's a not-for-profit founded in
9 California many years old, working all over the country,
10 and purposely ignoring California up until now as a tough
11 place to work in. It's actually based in Southern
12 California.

13 Former Senator Steinberg and I are the Sacramento
14 contingent representing that group. We're not full-time,
15 it's just something that we're pushing for. And I want to
16 address while they're fuel neutral, they've been working
17 nationally for a long, long time, I want to address two
18 current major emphasis that brought them to California and
19 to seek out old veterans like me and Darrell Steinberg to
20 give them advice and counsel.

21 One is ethanol in general. The other is E85 or I
22 should say E85 in particular. The idea is to make
23 recommendations and to not endorse any particular fuel, but
24 California has over a million FFVs. And I know from
25 personal experience most people don't even know they have

1 an FFV or what an FFV is. The few who do might seek out a
2 station that sells E85. But I think we historically have
3 said there's not much there and why should we put any money
4 into it?

5 All right, your Governor wants action now.
6 you've got a -- there's three legs to the stool,
7 Mr. Carmichael -- and I say that, because he kidded always
8 with my three-legged stools analogies. And when I retired
9 he gave me a three-legged stool. So in any event, it's
10 always been you need technology, a vehicle technology. You
11 need a fuel to take care of that technology. And you need
12 an infrastructure for the fuel.

13 And then the next tranche may be three more legs
14 on that stool is adequate supplies of all the above, lots
15 of infrastructure, lots of fuel, lots of vehicles. You've
16 got lots of the E85 vehicles running around California.
17 You have lots of ethanol fuel and more coming. And you
18 have an infrastructure, weak as it is, that could be
19 pushed.

20 And I just want you to think about going to your
21 Governor and saying, "We have now been able to get E85 fuel
22 at a price that's a savings to consumers. And we've been
23 able to advertise to those consumers the benefits. And we
24 can reduce our petroleum use by a significant amount, by
25 getting all those vehicles using E85 all the time."

1 That's just a short-term payoff that you're going
2 to need to continue the thrust for all the long-term goals
3 that you have. So I'd ask that you think about that.

4 We have had one discussion with the staff. This
5 is not new to the staff of this Commission. It's not new
6 to Mary Nichols or the Air Board staff, they've been
7 introduced to this. A lot of people are thinking about it
8 and working on it. And I think I encourage you to do same.

9 If made a policy, it could be facilitated very
10 rapidly and you could get some quick reductions. It
11 addresses all the Governor's policies. It addresses
12 criteria pollutants. It addresses the greenhouse gas
13 reductions, so on and so forth.

14 Secondly, is just ethanol in general and then
15 I'll get down from here. You can't ignore ethanol in our
16 future. Mr. Kaffka and my friend Steve already mentioned
17 something that your staff has to have observed over the
18 past several months. The automotive industry is quite
19 stressed over how they're going to meet CAFE in the future.

20 The automotive industry, as we all know, has done
21 miraculous things that they said they couldn't do with
22 automobile engines and their performance and their size and
23 their emissions performance and their fuel economy.

24 They are talking in many, many circles about the
25 need for more octane: higher octane, higher compression,

1 greater CAFE, less emissions. Where do we get our octane
2 now -- from ethanol.

3 I think you need to think about how do you
4 connect all these dots that you've laid out, that I've laid
5 out, and all the problems with the biowaste to fuels arena
6 and so on and so forth, into a program where you make the
7 decisions based on all these policies, absorbing everything
8 the people have said today about how to carve up those
9 dollars. Don't ask these people to knife each other in the
10 back about where they think it ought to be taken from
11 someone else around the table.

12 But that's the Commission's responsibility and
13 it's a tough one. Ms. Scott has got a tough job just like
14 she inherited from her predecessors, I being one of them in
15 the past. But you don't have a lot of money. You should
16 have more money. At least you have the money and you're
17 going to have to do the best you can and you can do it in
18 concert with other suggestions that have been made about
19 GGRF becoming a source of funding.

20 And you have to find out where the ARB will draw
21 the line and where the Chairwoman says, "No, we're not
22 going to invest public money into an area where private
23 capital should be invested." I'm not going to discuss that
24 here. You need to find that out from there.

25 But there are tradeoffs between all you want to

1 do, they want to do, and between the ultimate goal of
2 hydrogen and electricity, but all the stepping stones in
3 between and all the renewable sources that can provide for
4 that electricity and then hydrogen. So I ask you really,
5 to take a long hard look at this.

6 There are massive investments in areas now that
7 have very few vehicles, extremely weak infrastructure, and
8 limited amounts of the energy you need for the fuel. Not
9 so true with electricity, certainly very true with
10 hydrogen. So think about where you're investing your
11 money. As much as you'd like to dump it all into maybe the
12 ultimate utopian goal, but think about how you need to
13 incent other areas. And how statements you make in your
14 policy document give guidance to other people.

15 Where the State government is willing to step
16 out, we the private sector, might be willing to step a
17 little further into the Valley of Death and make an
18 investment where heretofore people have been reluctant to.
19 A lot of people have said to me, "Well, the private
20 sector's supposed to pay for all that." Well, we had a
21 recession. The investment community really retreated from
22 a lot of these areas. Some investors overinvested in some
23 areas and poor mouthed those areas for a long, long time.

24 This government has to venture deeper into the
25 Valley to attract these people back to make that

1 investment. So that's what you have to do with the monies
2 you have. And as I say, you know, to me the biofuels arena
3 is probably the key arena where you affect all the other
4 arenas, because it becomes a source of supplies for energy
5 to fuel almost everything.

6 Thank you for allowing me such a long time to
7 make my comments.

8 MR. MCKINNEY: Great. Thank you, former
9 Commissioner Boyd. It's always good to have you here.

10 Let's see, I see that Steve has put his name
11 plate up and -- sorry?

12 COMMISSIONER SCOTT: I still have something --

13 MR. MCKINNEY: And then Andrew, we have one
14 person from the public who wants to speak on biofuels. Is
15 that correct? One, okay. Right, why don't we go to --

16 COMMISSIONER SCOTT: Also I do want to be
17 actually mindful of our time, because we do have the rest
18 of the categories that we need to talk through. And so
19 we'll go to Steve, we'll go to Joe, we'll take our public
20 comment. And then we'll probably break for lunch and then
21 we will come back and do the next category.

22 And please remember anytime, of course, you can
23 give us written comments as well. So that if you didn't
24 have a chance to finish everything you wanted to say we'll
25 be able to get those in writing to you.

1 So go ahead, Steve.

2 MR. KAFFKA: Biofuels are always often the most
3 contentious and interesting topic area generally.

4 COMMISSIONER SCOTT: Yeah.

5 MR. KAFFKA: So I really appreciated what ex-
6 Commissioner Boyd had said. And it caused me to think
7 about one other thing.

8 The Federal Renewable Fuel Standard effectively,
9 from my perspective has crashed and burned as an incentive.
10 It's become instead of a mandate, a kind of a yearly
11 allocation political battle. And basically it's almost a
12 negative incentive now for investment in the alternative in
13 advanced feed stock sources and new policies for advanced
14 ethanols or for other biofuels. So it means that the LCFS
15 in California particularly, and for other jurisdictions
16 that adopt it -- and the AB 118 Program and related
17 programs carry even more weight. So I think it reinforces
18 what Jim has said, that you do have a policy effect here in
19 terms of your allocation.

20 And balancing that with mid and near and long-
21 term needs is important, but we do want to get to a
22 significant petroleum reduction in a short period of time.
23 And so I think that also supports some of the things that
24 Commissioner Boyd just said.

25 MR. MCKINNEY: Okay. Then Joe, you had a short

1 comment?

2 MR. GERSHEN: Very short, again from ex-
3 Commissioner Boyd. I think just going slightly off the
4 reservation on an emotional plea, in addition to all the
5 documents and policies that he suggested that you have to
6 look to, to make these decisions I think it's important to
7 note 2014 was the hottest year on record. 2015 is on track
8 to be hotter than that and we've just lived through this
9 summer, which ended November 1st. We talked about that
10 before the meeting.

11 I think we had the strongest hurricane on record
12 a few weeks ago hit Mexico. There was a really strange
13 cyclone hitting Yemen, South Yemen, and doing massive
14 destruction. I mean, we're all seeing these things. I
15 think you just have to go outside or watch the news and see
16 what's going on.

17 We've got to lower carbon and what's going to do
18 it most effectively? And I think that's a certain driver
19 that has to be considered. And Mr. Boyd is correct, I
20 think you guys have to make those decisions, but these are
21 things that are important to consider, but thanks.

22 MR. MCKINNEY: Okay. Thank you, Joe.

23 So Andrew, do you want to open up the phone to
24 John Reed?

25 MR. REED: Hi. This is Dr. John Reed from North

1 American Repower. Can you guys hear me?

2 MR. MCKINNEY: Yeah, very well. Please proceed.

3 MR. REED: Okay, great. Yeah, I'll try to make
4 this very brief. I just wanted to make a couple of quick
5 comments about biomethane and the reduction in its value on
6 the Low Carbon Fuel Standard.

7 Understand that those adjustments made by the
8 staff at ARB were based upon some studies that were done on
9 older lines and from a few production areas outside of
10 California. And that when it comes to biomethane
11 utilization in California those reductions actually don't
12 reply, because until very recently the only biomethane that
13 could be used as a vehicle fuel was from places where it
14 was onsite produced. So the leakage amount from an onsite
15 production would be extremely small, because you're not
16 using the national pipeline. You're not using the
17 compression, so the value is actually very high.

18 But thanks to the efforts of Mr. Carmichael there
19 and the Renewable Natural Gas Coalition the Hayden
20 Amendment was finally modernized. And now we can have
21 pipeline quality biomethane finally placed into the
22 pipeline here in California that's produced here in
23 California.

24 So a lot of things are finally coming together,
25 so that biomethane utilization in California can actually

1 finally try and catch up to the kind of numbers that we're
2 getting from biodiesel. You know, biodiesel's had a ten-
3 year head start on being able to go to market here in
4 California that biomethane's not had. So things are
5 finally coming together, so I would ask that the CEC
6 seriously look at natural gas cooling infrastructure in
7 terms of addressing the issues that the utility companies,
8 the pipeline owners had about biomethane going in. And
9 help reduce the cost of biomethane production by helping
10 fund research into items that can help clean up biomethane,
11 so that it can become pipeline quality. And to reduce the
12 cost of that technology.

13 I think the other thing that goes hand in hand
14 that I'm not really seeing here, and it has to do with
15 training, for individuals for both hydrogen and for natural
16 gas. And that comes to vehicle inspectors and these sort
17 of things. You know, we're looking at tanks that are going
18 to be at 10,000 psi and these little Mirais and any other
19 hydrogen fuel cell vehicles that come along. And there's
20 very -- almost no people that are certified to be able to
21 inspect and deal with these systems.

22 And the people that would be willing to do that
23 and want to do that, they have to pay out of their own
24 pocket to get that training. And I would suggest that we
25 seriously look at putting some scholarships available for

1 people that want to learn and have that sort of training.

2 And lastly, looking at emerging opportunities the
3 Energy Commission should be very proud of itself, of its
4 investment that it's made in natural gas technology.

5 The fruition of that is the Cummins Westport GL
6 .02 NOx Engine that's going to be available now. That's a
7 phenomenal amount of technology and the Energy Commission
8 has also funded my own company with -- and we're developing
9 technology which will have similar if not better results,
10 and not only in terms of NOx but in terms of greenhouse gas
11 production.

12 And I see in the current plan that pretty much
13 all of the money is going to be going towards stuff that is
14 near commercially available or in vehicle buy-downs for
15 currently available. I would suggest that we not lose
16 sight of what the CEC funding has created by investing in
17 things that are not yet near commercial available. And to
18 make sure that funding is available through emerging
19 technologies that can take us even further with biomethane
20 and the natural gas that's available to us.

21 That's all.

22 MR. MCKINNEY: Great, thank you for your comment.
23 And thanks for participating in our proceeding.

24 I think with that we're going to break for lunch.
25 This is a kind of a good natural break end of the biofuels

1 discussion. I really want to thank the Committee members
2 for some very thoughtful discussions.

3 Kyle, you're pointing at me. You're pointing --
4 What, are you between us and lunch?

5 MR. FREEMAN: Sorry, I have a boring quick
6 housekeeping item before we break for lunch. As soon as
7 this over they're shutting down the Internet service to fix
8 some of the wifi, so you'll have no access. But when we
9 all come back it should be working flawlessly, and so the
10 folks that are online, you may see the system go down
11 briefly but we'll be back.

12 MR. MCKINNEY: That's an important item. Thank
13 you, Andre.

14 Okay. We will reconvene at 1:30. Thank you.

15 (Off the record at 12:35 p.m.)

16 (On the record at 1:33 p.m.)

17 COMMISSIONER SCOTT: So we have finished our
18 discussion on the Biofuels Reduction and Supply Category
19 and are going to go to now the Electric Charging
20 Infrastructure Category. So while I'm waiting for Jim I'm
21 going to ask who of our Advisory Committee members around
22 the table would like to start the discussion there.
23 No comments on Electric Charging Infrastructure?

24 Oh, Sekita?

25 MS. GRANT: Yeah. I guess I kind of already made

1 some of mine. Let's see if I actually have any more than
2 what I already said.

3 So I guess just to reiterate the support for the
4 Energy Commission thinking innovatively about the multi-
5 unit dwelling issue, and that having a point person or
6 persons that are really engaged with how to get additional
7 charging in those areas and thinking kind of more deeply
8 about that problem.

9 And it kind of goes into the earlier conversation
10 with Jim about finding the right geographic regions, which
11 -- maybe the solution to the multi-unit dwelling problem is
12 to ensure that there is more publicly accessible charging
13 stations in those areas where there is a lot of multi-unit
14 dwellings.

15 And also thinking about using funding for focused
16 pilot programs that might -- where you're kind of
17 leveraging the Energy Commission funding -- what the
18 program you have with the Department of Finance. What the
19 Area Resources Board is doing with incentivizing vehicle
20 purchases, particularly their supplemental incentives that
21 will be available for low and moderate-income purchasers.
22 So having, collaborating, and kind of leveraging those
23 different options -- both leveraging the financing and the
24 money available as well as the information.

25 I think all of this is a really great opportunity

1 to inform potential purchasers and users of these clean-
2 vehicle technologies that might not necessarily be in our
3 circles. And it's really about us moving beyond early
4 adopters in getting more non-traditional partners into this
5 space.

6 I think that's it for this section. Thank you.

7 MR. MCKINNEY: And Sekita on that point -- Erik I
8 don't know if you or Peter maybe can add -- but where are
9 you on the pilot program for disadvantaged communities and
10 vehicle deployment with AQIP? Is that on hold as part of
11 the GGRF Funding that's on hold or is that proceeding?

12 MR. WHITE: Well, the projects that the Board
13 approved with last year's funding, we're in the process of
14 implementing now: some low-income financing programs for
15 disadvantaged communities, car-sharing as well. I think
16 there's a number of press announcements about a program in
17 Los Angeles that just was approved by the city of Los
18 Angeles. And I think it was San Diego, wasn't it Peter,
19 the other one? Yeah.

20 So those are moving forward. Obviously we did
21 not get our full appropriation of low-carbon transportation
22 funding that the Governor had proposed in his budget.
23 We're cautiously optimistic that additional funds will come
24 after the beginning of the year.

25 So the new projects that we had proposed in our

1 funding plan last year, which would build on the ones that
2 we had done last year are on hold pending additional funds.

3 MR. MCKINNEY: And if you could remind us please,
4 did those pilot projects in disadvantaged communities, do
5 they include charging infrastructure? Because I know at
6 the staff level we've talked about trying to coordinate our
7 respective programs.

8 MR. WHITE: Infrastructure was eligible with
9 those, so a number of them have charging -- an
10 infrastructure component associated with them. And some of
11 them are quite novel, similar to Commissioner Scott's
12 curbside charging -- some of them. I think the City of Los
13 Angeles one is intended to demonstrate using existing
14 infrastructure like the light posts as a way, as a source,
15 of electricity for charging the vehicles.

16 I'll look to Peter again and make sure I have
17 that right. Is that? Yeah, yeah.

18 MS. GRANT: I'm sorry, just a couple of more
19 follow-up points on that. And I know that you guys are
20 already doing this, because I could tell but when I read
21 through the documents -- the Draft Investment Plan. And
22 it's for us stakeholders to also help with this, but kind
23 of keeping up to speed with the PUC and the rollout of the
24 charging stations there as well as what NRG is doing.

25 And the Japanese company -- I'm blanking on their

1 name -- their MOU, what they're doing. I know you are all
2 aware of this. And --

3 MR. MCKINNEY: NEDO, yeah. NEDO?

4 MS. GRANT: NEDO, that's right.

5 And as Erik mentioned the City of L.A. is also
6 leveraging funding from LADWP for charging stations. So
7 outside of the IOU territory POUs are also looking at
8 charging stations. And we've connected them with CEC staff
9 to make sure that in terms of placement that they're taking
10 advantage of some of the planning work that you guys have
11 already done.

12 And then, again to reiterate the potential to get
13 more information in terms of where investments are
14 happening relative to disadvantaged communities. So what's
15 going within disadvantaged communities and what's going
16 outside of them?

17 COMMISSIONER SCOTT: Great. I will just add to
18 that that we are especially in this area working to be
19 incredibly flexible and incredibly nimble as we go forward,
20 because it is changing so fast just as you mentioned with
21 NRG. With the NEDO we don't know exactly what their PUC's
22 going to do, but they're going to do something. And so we
23 need to make sure that the Energy Commission's investments
24 in this space continue to be strategic and continue to
25 advance the charging into spaces where we're not

1 overlapping with a PUC effort with something NRG is already
2 doing. And so we're very mindful of that going forward.

3 And I'll take this opportunity to do another plug
4 for our workshop that we're going to have on December 7th,
5 Commissioner Peterman and I. And we will go through many
6 of our regional readiness plans to really get a good sense
7 of what folks in the regions, in the local cities, are
8 doing on the ground to plan for charging infrastructure.
9 How they are doing that planning, where they are doing that
10 planning, why they are picking the areas that they're
11 picking, to really kind of get some more detailed
12 understanding of the different thought processes that folks
13 are using as they are putting the charging infrastructure
14 out there.

15 I think with the amount of charging that we need
16 to meet the goals that the governor has laid out for us,
17 \$1.5 million by 2025, we need all-speed ahead in all of
18 those areas, so just random thoughts to add.

19 MS. GRANT: Can I add -- sorry, one more thing I
20 promise -- my last statement was just to make the point as
21 we're -- especially in infrastructure, so this goes to
22 electric vehicle infrastructure and beyond -- that there
23 are really a lot of great opportunities in terms of the
24 economic benefits of investing in infrastructure within
25 different communities.

1 And also these great events that you guys are
2 having to celebrate this new infrastructure rollout are
3 also great opportunities to bring community participants
4 in, bring non-traditional partners, community-based
5 organizations, schools. Get them engaged in this exciting
6 rollout. So it's a way to kind of -- almost like a PR
7 opportunity as well as actually having the economic
8 benefits of investing in different communities.

9 MR. MCKINNEY: Great. Thank you, Sekita.

10 And Randy was reminding me that part of our CPCFA
11 Pilot Loan Program is that we do offer, I think, is it
12 bonus funding or bonus points?

13 MR. ROESSER: Incentive.

14 MR. MCKINNEY: Incentive funding?

15 MR. ROESSER: Incentive, yeah. (Indiscernible)

16 MR. MCKINNEY: Yeah, for chargers located in
17 disadvantaged communities.

18 And is Thanh or Jennifer Allen in the room? No.

19 But I think adding that to the metrics that we
20 track, the geographic location, how that fits in a EJ zone
21 or something through CalEnviroScreen is pretty easy to do.
22 So thank you for those comments.

23 Let's see, I've got Chris and then Bonnie?

24 COMMISSIONER SCOTT: Actually that's Ralph.

25 MR. MCKINNEY: Sorry?

1 COMMISSIONER SCOTT: Ralph.

2 MR. MCKINNEY: And Ralph, I'm sorry, I can't read
3 my own writing: Ralph, Chris and then Bonnie.

4 MR. KNIGHT: Thank you. I just want to thank the
5 Commission on what they're doing as far as the
6 infrastructure for chargers. We have not been successful
7 to date to get some money to do it, but we have put solar
8 charging on eight of our school sites. Eventually we will
9 have all school sites solar-charged. So with those eight
10 sites we included charge stations, two charge stations at
11 each site. And so we're going to roll those out and push
12 those out to the public.

13 And to employees, we've got some people that do
14 have electric cars that work there, but each one will have
15 two chargers out there. And the District is not going to
16 charge for it, it will to be free of charge, because we
17 figure you're talking about an employee that parks there
18 it's going to cost maybe a dollar with the solar to be able
19 to charge that car. So to us you can't buy the PR that
20 that could bring.

21 And I think that's -- you know, the Napa
22 community we get hit on a lot of different things, we don't
23 have a whole lot of disadvantaged in the area, so when it
24 comes to funding things we pretty much get thrown out of
25 the mix. We're seeing that as far as our electric buses

1 are concerned too, that it's pretty tough for us to get the
2 funding to do the electric buses the same way.

3 But the charge stuff right now is on a full, fast
4 forward mode and the District is moving as quickly as
5 possible to do all the school sites into solar and we'll
6 have chargers at all schools.

7 MR. MCKINNEY: Great. Thank you, Ralph.
8 Chris Shimoda?

9 MR. SHIMODA: So just to tie into the earlier
10 conversation about the additional policy overlays on this
11 particular Investment Plan. As many are probably familiar
12 with the Governor's Integrated Freight Plan there were
13 targets just recently announced last month -- a 100,000
14 zero-emission vehicles or equipment in the freight sector
15 by 2030.

16 So with that in mind and also given that it looks
17 like the first sectors to try to incorporate this
18 technology are likely going to be electric standby
19 transportation refrigeration units, refrigerating trailers,
20 Class 3 through 6 smaller-type parcel vans is there any
21 consideration for kind of a commercial strategy on electric
22 charging infrastructure?

23 I know that there's a lot of limitations about
24 public availability. That's going to be a challenge with
25 some the dock bay infrastructure, for instance, but

1 publicly available pedestals, that sort of charging
2 infrastructure? Because I do believe there is probably
3 going to be the need for some of level of incentive
4 funding. I know their Resources Board has some programs
5 tailored towards doing combination equipment and
6 infrastructure, but has there been any discussion in this
7 program? Because I know the statute calls for truck-stop
8 electrification, but not kind of privately-held-but-
9 publicly available infrastructure.

10 MR. MCKINNEY: I don't see Jennifer -- I know
11 Leslie is out today.

12 I do know that for our medium, heavy-duty advance
13 technology demos that we do provide funding for charging
14 infrastructure there. And it doesn't have to be public
15 necessarily if it's a closed-fleet operation. And we've
16 talked a lot about kind of adding this element to this
17 particular funding category, so light-duty electric
18 charging infrastructure.

19 So thanks for the comment. And if you can
20 articulate that more in written comments I think that would
21 very helpful. And Commissioner do you want to add to that?

22 MR. SHIMODA: And just -- oh, sorry.

23 COMMISSIONER SCOTT: (Indiscernible)

24 MR. SHIMODA: I was going to say just one quick
25 comment. Is that specific to refrigeration units you will

1 have times where the facility owner actually does not own
2 any of the equipment. And so kind of disaggregating the
3 charging infrastructure itself from the equipment is going
4 to be important.

5 COMMISSIONER SCOTT: Great point.

6 I think we are also working with some of the
7 ports here and thinking about the different equipment
8 around the ports that can also be electrified, and maybe
9 not all the ones that are most obvious to people.

10 But of course I'm blanking on all of the
11 different types of technology, but we're working with the
12 ports to also kind of see what other types of things at
13 ports can be electrified. And do it in such a way that
14 other ports would then be able to model it, because you've
15 got a good total cost of ownership or something like that
16 there. That makes it so that you have a good rate of
17 return.

18 MR. MCKINNEY: Bonnie?

19 MS. HOLMES-GEN: Thanks. I'm happy to jump in
20 this discussion. As you know the American Lung Association
21 is very excited about the transformation that's happening
22 to electric vehicles and infrastructure. And very excited
23 about the goals the State has set. And the urgency is very
24 present right now. There's a lot of urgency to move beyond
25 the 150,000 electric vehicles we have and ramp up quickly.

1 In terms of the goals that we've set it seems
2 like we need to maybe clarify. In the document it's
3 talking about 1 million EVs by 2020, I think. And we have
4 the 1.5 million by 2025 is, I think, the ZEV Strategy Goal.
5 And now with the Mobile Source Plan it looks like there is
6 some exciting numbers about moving to over 4 million or 40
7 percent, I think by 2030.

8 So I think it might be good to take a look at the
9 goal that we're putting forward here just so we have that
10 goal clear. And, of course, I think it looks like we're
11 setting some higher goals now in terms of the Mobile Source
12 Strategy and the SIPs that will be worked on with this, the
13 implementation plans for ozone.

14 So from our perspective it looks like we do need
15 to ramp up. Of course, we've done a lot of great work --
16 that's done on infrastructure. We need to be continuing to
17 ramp up.

18 We would question the amount of money. That \$17
19 million is a great rate-continuing allocation here, but
20 couldn't we possibly look at more money in this category
21 also? I know we need to track all the other expenditures
22 that are going out for infrastructure, but it seems like
23 there are special needs. We've just talked about the
24 transition to electric vehicles in the freight sector. And
25 there are some special needs for electric infrastructure to

1 help that freight transition.

2 And so that might be helpful to have a section,
3 also, in this document that's talking about those unique
4 needs in the transition to support just the Sustainable
5 Freight Strategy, because it is maybe a little different
6 than just public chargers for passenger cars.

7 So wanted to mention, specifically, looking at
8 the goal is it high enough? Is it the best goal that we
9 have to put in this plan? Is the money enough for
10 infrastructure? Especially with the needs in the freight
11 sector we know there's a need to boost it up, it's just a
12 matter of where it's going to come from. Is there is more
13 that could come from our CEC pot?

14 And in terms of the city and county, local
15 government support, I'm really excited to hear about the
16 workshop that you're hosting. We think it's so incredibly
17 important to have local leaders even more engaged, to have
18 local champions.

19 We're really particularly interested in looking
20 at what more can be done in terms of local, city and county
21 fleets. And trying to encourage cities to really be
22 leaders in this area and to do everything they can to ramp
23 up their own investment and show themselves as leaders and
24 models in the transition to zero emission.

25 So we will definitely be part of that discussion

1 and we're working with our local offices to see how we can
2 be more engaged in those local efforts to ramp up also.

3 So I'll probably have some more comments later,
4 but I just wanted to toss those out right now. Thanks.

5 COMMISSIONER SCOTT: So that reminded me of a
6 couple of things.

7 We are working closely with the Department of
8 Defense. It's kind of a Chair Weisenmiller, Secretary
9 McGinn at Department of Navy effort. We're working closely
10 with our friends at the Air Resources Board and other state
11 agencies.

12 And one of the things that has come from that
13 partnership is the Department of Navy is going to transform
14 all of their non-tactical vehicles in California to zero-
15 emission vehicles. And they're looking to do this by I
16 think -- I can't remember exactly when the RFP is coming
17 out, maybe about the beginning of the year -- they are
18 looking to have that fleet going by summer. And that's
19 really exciting.

20 And so I just wanted to pick up on your point
21 about fleets and being able to use those as models. It's
22 something that they have put a new leasing model in place
23 that allows them to be able to do this. It gives them a
24 little bit more nimbleness than they have if they have to
25 own the vehicles.

1 And so that's something that once it kind of gets
2 going we would like for them to come back and they can talk
3 to not just to the California fleets, but they could talk
4 to fleets across the country about how put they put that
5 modeling in place, because it's a different model from how
6 they typically got the vehicles. And so it's pretty cool
7 that they're doing that.

8 I also wanted to underscore what you said about
9 the Clean Air Goals, because a lot of times we've talk
10 about 2030, which is our Climate Goal. But we've got 2023
11 coming up not so far away. And a lot of the solutions that
12 we're talking about across all of these categories have the
13 potential to help us to meet those 2023 goals as well.

14 And that's something that the Energy Commission
15 is also very mindful of when we're thinking about what
16 types of projects we might like to see going forward.

17 MR. MCKINNEY: Any other comments from Committee
18 members here? I want to turn to the phone so --

19 MS. HOLMES-GEN: I'm sorry, but if I can just
20 make one more comment, which I really wanted to underscore
21 the importance of the comments that have been made around
22 disadvantaged communities and partnering with ARB. And
23 trying to focus the funding and trying to support lots of
24 different ways of helping communities across the State to
25 participate in this transformation and so part of it can be

1 locating EV infrastructure.

2 But there's lots of other ways to promote
3 electric vehicles, electric buses, electric transportation,
4 car sharing; lots of different forms of electric
5 transportation in diverse communities, so I just wanted to
6 pipe up and support the comments that Sekita made and
7 express that that's a very important goal also.

8 COMMISSIONER SCOTT: That reminded me of one more
9 thought, which is we have put together a map of all of the
10 ARFVTP projects across the State. And it has different
11 icons for whether it's a biofuels project, an electric
12 vehicle, a medium and heavy-duty.

13 I'm not sure if you can overlay CalEnviroScreen,
14 so if you can't we'll figure out how to get that layer on
15 there. But you can overlay the -- although it's probably
16 not quite as relevant as it was when we first built the map
17 -- of the old legislative districts, the new legislative
18 districts, the air-quality management districts. The
19 county lines and all that stuff are already on there.

20 So you can kind of see which types of projects
21 are going where and you have some different layers that you
22 can use to kind of analyze what's what. So it's a great
23 resource and it's up on our ARFVTP webpage. And the
24 easiest way to find that is at the top of the Energy
25 Commission webpage we've got that transportation tab. And

1 when you click on that you can get to all the
2 transportation-related stuff.

3 MR. MCKINNEY: And also Commissioner can you
4 confirm the date of the Regional Readiness Planning
5 Workshop?

6 COMMISSIONER SCOTT: Yes. It's on a Monday,
7 December 7th. And I do not recall off the top of my head
8 the start time -- 10:00 a.m. Stay tuned, the notice will
9 come out in a couple of weeks.

10 MR. MCKINNEY: Okay, I'd like to turn to Advisory
11 Committee members on the phone, so we have Simon Mui.

12 MR. MUI: Hi, thank you. Hi, Commissioner Scott.
13 I wanted to just say I look forward to meeting
14 all your new staff -- and I'm excited to hear -- next time
15 in person.

16 I did want to just comment on the electric
17 transportation sector. In general, electric transportation
18 when we look at the mobile source goals in terms of air
19 quality, GHGs and petroleum reduction, I mean it's clear
20 that electric transportation is going to be a major, major
21 part of that. And the needs around not only light-duty,
22 but medium, heavy-duty, off-road electrification, it is
23 very clear. And to the extent that this is a very vital
24 bucket and could always use more resources I agree with
25 that.

1 In terms of the comments I have the fortune of
2 going after my colleagues over there. So I will just only
3 echo Sekita's comments around the focus around multi-
4 dwelling units, how helpful it will be to have an expert
5 adviser to help identify areas and facilitate charging and
6 location and siting.

7 In terms of the different discussions about both
8 where the PUC, ARB and CEC is funding it would be very good
9 eventually to have a full, I guess, California-integrated
10 map between the agencies of where are the chargers and what
11 types are being deployed where.

12 And I would just like to note that being engaged
13 in the PUC from NRDC, the PUC process right now with the
14 IOU submissions, it's just from our own experience we know
15 that the PUC is very thoughtful. And they have got a long
16 process, so that even though you hope that the money will
17 come out by next year the programs don't always go out the
18 door over at PUC at warp speed. So certainly over the next
19 year in this fiscal cycle it does seem that CEC will remain
20 one of the main funders in this area.

21 And hopefully the other part is that we're hoping
22 that as IOUs move forward MUNIs (phonetic) will be fast
23 followers or in parallel. But those MUNIs, those
24 territories we agree with CEC will still have very large
25 needs, going forward around the infrastructure.

1 And then last I'll just comment, sort of echo
2 actually Chris Shimoda's comments about also making sure
3 that we are thinking about the medium, heavy-duty demo
4 projects and the deployment and how infrastructure can play
5 an important role there. So again I'd just like to
6 emphasize the strong needs in this category and encourage
7 CEC's plan here.

8 MR. MCKINNEY: Great. Thank you very much,
9 Simon.

10 Next we have John Shears.

11 MR. SHEARS: Good afternoon. So, people can hear
12 me?

13 MR. MCKINNEY: Very well.

14 MR. SHEARS: Great.

15 Yeah, I just wanted to -- my thunder was stolen,
16 but it sounds like several of us are thinking along similar
17 tracks when it comes to making sure that we continue to
18 keep our focus on what happens in disadvantaged
19 communities. And how to coordinate deployment efforts that
20 are happening between AQIP, low carbon transportation
21 funding, AB 8 funding at the CEC, and the staggered rollout
22 of the pilots that are under review through the PUC right
23 now -- noting that not all of the pilots are at the same
24 stage of vetting through the PUC processes: basically,
25 SPG&E before FCE before PG&E in terms of the service

1 territories and when those pilots will roll out. So I
2 think it's going to be important.

3 As Simon noted for the Energy Commission they
4 keep funding projects. Once the pilots come online it will
5 be more challenging trying to keep track of what is going
6 where, but certainly I think that will be important work.

7 And in the meantime through the Energy
8 Commission's funding and through ARB's side of the funding
9 through the disadvantaged pilots etcetera, I think it will
10 be important to coordinate what charging infrastructure is
11 going in where. Not only just for keeping track of the
12 overall picture, but I think for also future planning of
13 projects to serve disadvantaged communities. And matching
14 what infrastructure has been deployed, where it's been
15 deployed and how that syncs up with the prevailing vehicle
16 technology as the next generations of EVs are deployed in
17 the market.

18 I was just thinking there's the very useful map
19 that I think was part of Jim's presentation this morning,
20 showing where the various chargers are located. And I was
21 wondering if it might be helpful to get a little more
22 granular with that type of data vis-a-vis the way that
23 Tyson Eckerle has helped developed in terms of presenting
24 how hydrogen fueling stations are moving through the
25 deployment process.

1 I was wondering if it might be helpful? I think
2 it would be helpful in fact, if we could have something
3 similar, at least for the ARB and Energy Commission-funded
4 projects, at least for the time being. I think it will
5 help out a lot with the future planning especially on the
6 disadvantaged communities' projects going forward.

7 I know in advising some groups that were
8 interested in participating in seeking funding for
9 disadvantaged pilots it was the kind of information that
10 would have been very useful for purposes of planning past
11 proposals and probably future proposals as well. So
12 thanks.

13 MR. MCKINNEY: Great. Thank you, John.

14 Any other comments from Advisory Committee
15 members, either here in the room, or on the phone?

16 (No audible response.)

17 Okay, with that are there any public comments
18 here in the room today? I don't have any blue cards.
19 Seeing none, Andrew, do we have any public comments on the
20 phone for this subject area?

21 One, go ahead. And hang on, as a friendly
22 reminder to everybody for public comments we generally try
23 to keep them to three minutes, so proceed and if you can
24 identify yourself?

25 DR. REED: Appreciate it, yeah. Yes, this is

1 Doctor John Reed again with North American Repower. I just
2 wanted to get back to the comment made about the metros
3 going to electric.

4 You know, the metro systems here in California
5 are heavily invested in natural gas, several thousand units
6 in L.A., several hundred units in San Diego County.

7 And just in my conversations with the Head of the
8 MTS here in San Diego, ARB is basically dictating to them
9 that they go electric with withholding the 20 percent
10 funding that these districts rely on to be able to get
11 their new buses. It's 80 percent Federal funding, 20
12 percent State.

13 Now, problem is there's no money in there for
14 infrastructure for these folks. And the infrastructure
15 costs will be massive, because you are looking at urban
16 areas where these would be the most effective. And the
17 cost of doing this is extremely high. Most of the
18 facilities for these metros are also very old. And the
19 infrastructure just to tap into is not up to snuff. So
20 we're looking at a massive investment in infrastructure for
21 systems that have already made major investments in the
22 natural gas.

23 I think that you really need to look again at
24 what it is you're attempting to do and get fixed here. And
25 I think you really need to involve the MTS people at the

1 highest level in all these discussions. And I'm sad that
2 they're not here and discussing this right now, because
3 this is the biggest problem facing them right now that the
4 mandates for them to serve the public is increasing yet
5 that the funding for them to get new buses is actually
6 being pulled away from them.

7 For MTS San Diego they have no ability to use
8 electric buses, period. So with the only funding available
9 for them is for electric buses they will basically go
10 without buses and they will have to reduce service, which
11 is completely contrary to what we're trying to get done.
12 So that's my only comment.

13 MR. MCKINNEY: Great. Thank you, John Reed.

14 Next I think we have Urvi Nagrani with Motiv on
15 the phone. Go ahead, Urvi.

16 MS. NAGRANI: Hi, I just wanted to make sure that
17 when we're talking about electric-charging infrastructure,
18 make sure that the public accessibility isn't included in
19 all funding for electric charging infrastructure.

20 Specifically, as we're looking towards the medium
21 and heavy-duty side, a lot of fleets keep their vehicles
22 parked in work yards that are locked up. And so if all of
23 the infrastructure funding that is available for them has
24 to come with public access it means that they're basically
25 going to look at it and say, "Well, I either have a choice

1 of my business being secure and having my trucks in the
2 yard or not being secure."

3 And we don't really want to make fleets make that
4 decision, so I'd urge especially on solicitations where the
5 infrastructure is necessary not just considering
6 infrastructure as a match fund, but as an eligible expense.

7 And then when thinking about funding electric-
8 charging infrastructure perhaps differentiating the bucket
9 of requirements for those chargers that are intended for
10 multi-unit dwellings, for public access, and the light-duty
11 sector from those that are intended for the heavy-duty
12 sector and are going to have to work with specific charging
13 protocols on those heavier vehicles.

14 MR. MCKINNEY: Okay, thank you.

15 Let's see, I have one more card then I'm going
16 turn it over to the Commissioner.

17 Erin Evans, are you present here? Okay. Hi.
18 Welcome.

19 MS. EVANS: Hi, thank you. I'm Erin Evans with
20 the Small School Districts Association.

21 We're very supportive of the \$23 million for
22 medium and heavy-duty vehicle demonstration project. I
23 understand this funding can be used to get clean school
24 buses on the road as well for charging infrastructure.

25 MR. MCKINNEY: Yeah, I'm sorry ma'am, if I can

1 interrupt you?

2 MS. EVANS: Sure.

3 MR. MCKINNEY: I thought you were going to be
4 speaking to the electric charging topic?

5 MS. EVANS: The vehicles.

6 MR. MCKINNEY: Yeah, so that will be --

7 COMMISSIONER SCOTT: We'll come back to you when
8 we get to the vehicle part.

9 MR. MCKINNEY: Great. Thank you.

10 COMMISSIONER SCOTT: Let me -- oh, I'm sorry. Go
11 ahead.

12 MR. BOYD: Jim Boyd, I'm sorry not to -- I had a
13 question that maybe, particularly you Commissioner Scott,
14 could help with. It may or may not inform a little bit of
15 the discussion.

16 During my year as Chairman of the Plug-In
17 Electric Vehicle Collaborative we struggled mightily with
18 great strain to come up with three major priorities instead
19 of the previous years' laundry list of priorities, one of
20 which was multi-housing, multi-unit dwelling charging.
21 With a pretty ambitious program recognizing it's an
22 extremely difficult field to operate in.

23 And I've drifted away from that and I'm just
24 wondering if they were able to execute enough -- you, as
25 chairing that now -- have they been able to move that

1 forward with any success? Or how does that effort fit into
2 what's being talked about here? The need for additional
3 funds and the need to do this, that and the other, some of
4 which I had hoped frankly by now had been done. But
5 nothing seems to go as we had all hoped.

6 COMMISSIONER SCOTT: There is at -- the Plug-In
7 Vehicle Collaborative has put together some really
8 excellent case studies and in addition a kind of a handbook
9 for people who are looking to get multi-unit dwelling
10 charging. We haven't kind of put a goal out there or done
11 something like a "Drive the Dream" where we were focused on
12 the workplace-charging aspect for multiple-family
13 buildings.

14 But what they have done is put together just some
15 really good information for if you're the apartment
16 building owner here's how you can get going on charging,
17 here's the different resources that are available to you.
18 If you are a tenant living in one of these buildings here's
19 how to approach your HOA, here's how to approach your
20 landlord on how to get the charging in place.

21 And so they put together some really nice
22 materials to help people understand how to get involved in
23 the space whether you're the building owner or the person
24 that lives in the building. So we do have some really
25 great brochures from the Plug-In Vehicle Collaborative on

1 that. And those are probably, I would bet, up on the
2 webpage.

3 In terms of like a specific goal though on
4 multiple-unit dwellings, we don't have that at the Plug-In
5 Vehicle Collaborative.

6 So in our notice we said that we would take
7 public comment at 2:00 o'clock, so here's what I'd like to
8 ask. If there was someone who was 100 percent absolutely
9 counting on the fact that they were going to be able to say
10 something at 2:00 o'clock and you urgently need to do that
11 would you please be sure to let us know? We're happy to
12 take that comment now.

13 Otherwise if you have a broader, general comment
14 I'd like to ask that you wait until the end of the meeting.
15 We will certainly take public comment at the end of the
16 meeting. Please don't think that we are forgetting you,
17 but I did want to put the opportunity out there if there
18 was someone urgently depending on that 2:00 o'clock
19 timeline.

20 Any hand raisers over there, Andrew? Okay, let's
21 do that one and then we will go back to I think the
22 Hydrogen Refueling after that.

23 Okay. So I think Andrew has opened up your line,
24 so the urgent commenter please go ahead. He didn't tell me
25 your name, so you'll have to identify yourself.

1 MR. LADY: Bill Lady?

2 COMMISSIONER SCOTT: Bill Lady?

3 MR. MCKINNEY: Bill, is your phone unmuted?

4 (Audio difficulties.)

5 COMMISSIONER SCOTT: Okay, so we're going to go
6 ahead and move on. There is an opportunity, of course, to
7 put in written comments. We look at all of those.

8 And let us go now to, I believe we finished the
9 electric charging discussion from the folks around the
10 table?

11 MR. MCKINNEY: Correct.

12 COMMISSIONER SCOTT: Terrific, let's go on to
13 Hydrogen Refueling. Who would like to start?

14 MR. MCKINNEY: Erik.

15 MR. WHITE: Thanks, Jim. I think it goes without
16 saying the ARB is very supportive of this year's proposal
17 for an additional \$20 million to hydrogen infrastructure.

18 As you laid quite nicely in your presentation as
19 we envision growth in the light-duty hydrogen fuel cell
20 marketplace it's important to have the stations online and
21 available to fleets if we're going to see the success in
22 the deployments that we're looking for. It's very
23 encouraging to see just how far we've come in such a short
24 period of time in terms of the number of stations that are
25 out there.

1 I actually had the opportunity to see the
2 Emeryville station about a month ago and was just very
3 impressed its access and ease of ability to use. And it
4 wasn't bad seeing one of the new Marais there as well.
5 It's a very nice-looking car.

6 So we're very supportive of that. And certainly
7 as you projected forward and started to identify areas in
8 which we may have localized impacts from lack of
9 availability and some broader, statewide issues moving
10 forward it's going to be very important for us to work very
11 closely to ensure that as we identify those future
12 bottlenecks or areas that we need to look at that.

13 We're looking at those and working on those very
14 closely and understanding how we will bridge those areas so
15 that we see continued growth in this marketplace as it's
16 going to be so critical to meet the Governor's 1.5 million
17 vehicles goals. So thanks.

18 MR. MCKINNEY: Great. Thank you, Erik.

19 And I will remind us all that we just have a very
20 strong and collaborative working relationship with your
21 hydrogen team. So we had good input into your report. And
22 Andrew Martinez is on every conference call that I have
23 with NREL on our report, so it's a good working
24 relationship.

25 Tim Carmichael?

1 MR. CARMICHAEL: Good afternoon, Tim Carmichael
2 with the Natural Gas Vehicle Coalition again.

3 I am also supportive of -- let me preface this by
4 saying I'm speaking as a member of the Committee rather
5 than for CNGVC on this item. I'm supportive of this
6 allocation this year mostly because I was part of the
7 negotiations that led to a commitment for at least three
8 years of funding at this level.

9 But I want to take this opportunity to remind
10 everyone, because there are a lot of new faces around the
11 table, back in 2013 as part of the AB 8 discussions and
12 negotiations, there was a discussion involving Commissioner
13 Peterman, myself, Tom Cackette from ARB and others where we
14 basically hammered out that there needed to be a strong
15 showing by the state committing to infrastructure if we
16 were going to push the auto industry as hard as we were
17 pushing them on fuel cell vehicles.

18 ARB wanted a \$100 million firm commitment and we
19 ended with \$60 million; \$20 a million a year for three
20 years. If you look at AB 8 today it doesn't articulate
21 that, but I think several people will remember that's how
22 it played out.

23 And what the bill says is, "CEC in collaboration
24 with ARB needs to review this funding every year and make
25 an evaluation on the appropriate level."

1 I am not in any way advocating that we cut the
2 hydrogen funding out of this program. I am reminding
3 people that this year is a very big year for this line
4 item, in my mind, because assuming the Commission goes
5 forward and approves this, this will be that third \$20
6 million installment for a total of more than \$100 million
7 in hydrogen infrastructure funding.

8 But a year from now, in theory, we're going to be
9 having this conversation again. And we're going to, and
10 the Commission is going to be needing to take a hard look
11 at, does it make sense to continue this funding at this
12 level?

13 And the reason I raise it now is because the
14 balancing act between the State supporting infrastructure
15 and the auto industry delivering fuel cell vehicles has
16 really jumped all over the map in the time that we've --
17 you know, I mean you can go back to 2000, but even in the
18 life of this program. And I just want to highlight or
19 mention a few data points.

20 Back in 2012 and 2013 CEC and ARB, actually using
21 the auto industry and fuel cell partnership numbers
22 projected 53,000 fuel cell vehicles in 2017 or by 2017
23 technically, so 2012 and 2013 that's the number. And
24 that's the number we were working with when we were
25 negotiating AB 8 -- 53,000 fuel cell vehicles by 2017.

1 That was adjusted in 2014. And you can look at
2 this in the Investment Plans to 20,000 fuel cell vehicles
3 by the end of 2017, so there's a significant scale back.

4 And then it was adjusted again earlier this year
5 to 6,600 fuel cell vehicles in 2017.

6 And then this new plan, that draft plan from the
7 staff, is now talking about 10,500 fuel cell vehicles by
8 the end of 2018. So a year later, 10,500 fuel cell
9 vehicles. Again, the numbers have jumped around. And I
10 understand that there's a lot that the State has no control
11 over. But we have to keep those vehicle numbers in mind as
12 we're considering this level of investment in
13 infrastructure.

14 And at some point if the vehicles don't come in
15 the numbers that we all hoped, that we still hope they
16 will, we have to take a look at this infrastructure
17 commitment and say, "Does it make sense," because at some
18 point it really does become ridiculous. If you look at the
19 number of vehicles and the amount spent on infrastructure,
20 the amount per vehicle is a huge number.

21 And I'm not saying we're there yet. I'm flagging
22 this, because I know it's a sensitive subject. But I'm
23 saying this conversation in this next year is very
24 important to see what happens from the auto industry side
25 in their development, deployment of fuel cell vehicles.

1 Because I think it's going to hard conversation whenever we
2 have it, but a year from now we need to have that
3 conversation in earnest. Thank you.

4 COMMISSIONER SCOTT: I think that maybe, Jim or
5 Randy you can maybe correct me if I'm wrong, what you laid
6 out is actually a lot of what is in -- or Erik or Peter --
7 in Assembly Bill 8, right? So it asks us to put up to \$20
8 million dollars a year into hydrogen-fueling infrastructure
9 until we get to that initial backbone of 100 stations.

10 But it also asks us to do both: The AB 8 Report
11 led by your Resources Board, which comes out in the summer
12 and talks a lot about the vehicles. And then the AB 8
13 Report led by the Energy Commission that comes out at the
14 end of the year that talks about the infrastructure.

15 And that's the assessment that AB 8 has asked us
16 to make, exactly what you're talking about, right? How
17 many cars are there? What does the infrastructure look
18 like? Do we see the costs of the infrastructure coming
19 down? And when you put all that together and give them
20 where we're trying to go, does this investment continue to
21 make sense?

22 And so we are working on that. And I think that
23 that's my understanding of how AB 8 has laid out what we're
24 supposed to do on hydrogen, as well. So I appreciate you
25 raising that.

1 MR. MCKINNEY: No, Commissioner. I think you've
2 covered that.

3 So I think it was Brian and then Bonnie.

4 MR. GOLDSTEIN: Hi, it's Brian Goldstein from
5 Energy Independence Now. I'd like to applaud the
6 Commission's commitment to building out the necessary
7 infrastructure to at least give the technology a chance.

8 I think this is an absolute watershed moment for
9 the technology we're seeing. Many station openings just
10 looming in the coming weeks and months, the vehicles are
11 hitting the road. And I think we're on the right path. I
12 applaud the Commission's commitment to the next round of
13 stations.

14 One thing I wanted to bring up about the next
15 grant opportunity for stations is there wasn't really a
16 carve-out for renewable hydrogen, per se, within the
17 stations. And I understand that that's been built into the
18 scoring criteria to give stations that have access to 100
19 percent renewable hydrogen -- to be specific -- an
20 opportunity to get higher scoring or priority funding
21 there.

22 And I understand the reasons behind that, but I
23 would like to suggest that we take a look at what it will
24 take to get us to that point of 100 percent renewable
25 hydrogen. And whether that's through increased funding to

1 the individual stations that want to put the manufacturing
2 equipment onsite or whether that's through other
3 mechanisms. You know, it doesn't necessarily have to come
4 through the infrastructure program.

5 So I'm not necessarily advocating that we
6 allocate money at this point to the actual equipment to
7 manufacture renewable hydrogen, but simply to the research
8 of what it will take to get to the point where it makes
9 sense for the market to do that on its own. And whether or
10 not there are steps that the State can take to kind of
11 incentivize that at this point.

12 So I'd also like to applaud the community prep
13 grants that came out I guess at the end of 2014, across the
14 board, for the various fuel types. I think this an
15 incredibly important issue for the Commission to take on.
16 And I think that hydrogen specifically stands to benefit
17 from this. And I think it in general it really will help
18 the State see their funding used most efficiently and
19 quickly by making sure that the communities that these
20 stations are going into are prepared ahead of time.

21 And we've seen a lot of delays. There have just
22 been growing pains along the way for everything from
23 permitting to siting and so forth. And I think that with a
24 relatively small amount of funding that's being spent on
25 the community preparedness grants we can really minimize

1 the time that it takes to develop and open up these
2 stations. And really try to see a return on this
3 investment quickly. So I applaud that effort and I
4 certainly hope that that's part of the next round of
5 community prep grants.

6 And lastly, I'd like to say the whole point of
7 the program with the State funding hydrogen infrastructure
8 is really trying to get the market to the point to where it
9 can be funded on its own, where it makes economic sense.

10 So I think we're reaching a good point, around
11 the halfway point of the scheduled number of stations that
12 are being funded, to take a look again and say, "Okay.
13 These are the lessons learned. These are kind of the
14 market lessons learned. And what is it going to take from
15 this halfway point to make sure that the market can take
16 over and finance that 101st station? Are there additional
17 funding mechanisms? Are we on track to make sure that once
18 the State finishes with the 100 the market can take over
19 and finance the rest."

20 So again, those three points: community prep,
21 renewable hydrogen and then financing the 101st station; I
22 think that's being addressed effectively. I applaud the
23 Commission's efforts to do so and thanks for the
24 opportunity to speak.

25 MR. MCKINNEY: Great. Thank you, Brian.

1 Bonnie Holmes-Gen?

2 MS. HOLMES-GEN: Thank you. I wanted to support
3 this allocation also and state that just as I mentioned
4 with electric vehicles, we're really excited about the
5 rollout of hydrogen vehicles -- a lot of exciting news
6 lately and coming up.

7 And so I think it's important to be reminded
8 again that this slate of zero emission vehicles, including
9 the electric and hydrogen vehicles, are critical to our
10 air-quality attainment plans and I appreciate that being
11 mentioned in the document here.

12 And we have about 15 years, but we have a new
13 Ozone Standard we have in the 2030s and we have to show
14 that we're going to be able to meet this new federal Ozone
15 Standard in the South Coast and in the San Joaquin Valley.
16 And it's a huge challenge. And this transformation that
17 we're starting to see now is critical to getting those
18 emission reductions and getting the health benefits that we
19 absolutely need to see.

20 And I wanted to also just comment about, for both
21 hydrogen and electric charging infrastructure, the issue of
22 signage was raised in the document. And I just wanted to
23 mention that, because it is really important. I think
24 we've talked in the past about some of the research that
25 has demonstrated that people, a lot of people

1 unfortunately, are not aware of this huge transformation
2 that is happening.

3 For those of us it's hard for us to believe that
4 if we are driving a LEAF or another zero-emission vehicle.
5 And we're aware of all the benefits, but a lot of people
6 are not aware and not seeing this happening and so the
7 signage, having it obvious that these stations are out
8 there. They're not just seeing gas stations, but they're
9 seeing obvious signage and saying, "Hey, these charging
10 stations and hydro stations, they're in places that I'd
11 like to go. They're at the mall, at schools and shopping
12 centers and places that I frequent."

13 So I just wanted to highlight that. It's really
14 important. It's flagged in here, but I would love to have
15 you develop that section as you go forward.

16 MR. MCKINNEY: Great. Thank you, Bonnie, for
17 that reminder.

18 Any more Committee comments here in the room? I
19 think -- and Brian, if you could put your name card down
20 please? Thanks.

21 And I think we have John Shears on the phone for
22 Committee comments?

23 MR. SHEARS: Yeah. So I want to speak in support
24 of continuing, which with what at this point is really
25 formulaic, annual funding for the hydrogen fueling

1 infrastructure and the related O&M costs. And while
2 respecting Tim Carmichael's observations, would like to
3 note that part of the reason for the disconnect between the
4 numbers that the Fuel Cell Partnership expounded upon is
5 part of the roadmaps and updates -- those were numbers that
6 counted on the infrastructure sort of being there in place.

7 Energy Commission has put in mighty effort to get
8 the funded stations up and running, along with the
9 Governor's Office and staff over at CARB and CDFA. And
10 part of it was this junction that happens between head
11 offices at the car companies in terms of when their bosses
12 sign off on the major fuel cell strategies within each of
13 those companies. And when those show up in market relative
14 to when California finally sent that market signal to the
15 world that California was committed to supporting hydrogen
16 fueling and fuel cell vehicles.

17 So there is a disjunction and the ramp is behind
18 where everyone was hoping it could be vis-a-vis 2017 as
19 outlined in the original roadmap that Tim referred to.

20 But both Toyota and Honda, for example, are
21 demonstrating their commitment to this by pouring a fair
22 amount of their own money into the fueling infrastructure,
23 not only into deploying the vehicles for the market. And
24 the cars will be coming as long as we keep deploying the
25 infrastructure. We being California

1 That being said we still need to make sure that
2 we're making the decisions based on good metrics, which
3 takes us back to the evaluations that NREL will be
4 conducting on behalf of the California agencies and the
5 Legislature.

6 With respect to the cost of stations I'd just
7 like to point out, as I pointed out in several of the past
8 years, if you look at the sums of investments that go into
9 supporting EV charging infrastructure, EV fueling
10 infrastructure, and the number of cars that are served
11 relative to the cost of a retail fueling station that works
12 along the traditional liquid fuels models and the number of
13 cars that those stations serve the numbers are not out of
14 alignment with each other.

15 Psychologically, okay people can look and say,
16 "Oh wow, a \$1.5-2 million hydrogen station. That's
17 terrible." But similar levels of investment need to be put
18 in place for the charging infrastructure to support a
19 mature EV fleet. So I just want people to be aware that
20 when you're working towards getting these new technologies
21 from a nascent to a mature market you are looking at
22 similar levels of investment and fueling infrastructure.

23 And I don't have the data in front of me, but I
24 know there has been work that has been done on this in the
25 past; academic work that basically shows that you're

1 looking at similar levels of investment.

2 So with that I'll end my comments there. Thanks.

3 MR. MCKINNEY: Great. Thank you, John.

4 And I do believe, and correct me if I'm wrong
5 Erik, that under the current ARB survey to OEMs that there
6 are assumptions built in about how many fueling stations
7 will be out there during the survey period, so the three-
8 year-look-ahead survey periods.

9 MR. WHITE: Yeah, there are.

10 MR. MCKINNEY: Okay, any more comments from
11 Committee members present or on the phone?

12 Seeing none I'd like to turn -- I don't have any
13 blue cards from public members in the room. Seeing none
14 I'd like to open the phone to John Reed for a three-minute
15 comment.

16 MR. REED: Yes. Having driven the Mirai I would
17 just like to say that it's very nice to see that we have
18 OEM participation to bring real change and real technology.
19 My concern though also mirrors Tim Carmichael's that we're
20 putting a lot of money now into early technology. I'm
21 concerned that when we come around to next year some
22 technology will be improved on, especially the station
23 technology.

24 There's lessons to be learned, just like there
25 was with C&G. We can say, "Oh, that's fine. We'll get

1 more money from the next Legislature. And there will be
2 more money available to us from the Cap and Trade or
3 whatever, but we don't really know that. And I would
4 suggest that the CEC consider holding back a little bit on
5 some of this funding to make sure that there's funding
6 available later for improvements that will necessarily mean
7 -- be met and meet.

8 And again, back to training. Looking at the fire
9 departments in the areas where these things are going to
10 be, these folks are terrified. Their only reference is the
11 Hindenburg. So having driven one around, and it's a
12 perfectly safe car and it's a really nice piece of
13 technology, we've got to get that message out to these
14 folks. But we've got to have folks trained out there that
15 can actually deal with if there's an issue or a problem,
16 because there will be at some point. Any time you're
17 dealing with high-pressure gas, any time you're dealing
18 with something that's flammable as hydrogen, much more
19 flammable than CNG there's going to be an issue.

20 So we've got to be prepared for that and I just
21 haven't seen a whole lot of that in any plans. Thank you.

22 MR. MCKINNEY: Thank you. I do need to correct
23 one of the statements there. No member of the State Fire
24 Marshall's Office or local Fire Marshall's Office uses that
25 analogy. That is a grossly outdated analogy when we're

1 talking about the flame point or flammability of hydrogen.

2 Thank you.

3 Okay, good discussion. Why don't we turn to
4 Natural Gas Fueling Infrastructure? Are there any comments
5 from Committee members here in the room? And just a
6 friendly reminder, this is primarily targeted now for
7 municipalities and school districts.

8 Tim Carmichael and then Claire.

9 MR. CARMICHAEL: Thank you. I support the
10 allocation.

11 I will provide some written comments on some of
12 the statements in the write-up on this section. But the
13 one I want to flag right now, because it gives me an
14 opportunity to do some education, is a statement that says,
15 "This result" -- you're talking about the high benefits
16 found from the investments in the natural gas
17 infrastructure -- "This result is due primarily to the high
18 amount of fuel dispensed as well as the small number of
19 stations that are dispensing renewable natural gas."

20 And I want to just clarify that based on the LCFS
21 on tracking results it may be true that there's a small
22 number of stations that are doing 100 percent renewable,
23 natural gas, but there's a significant percentage of
24 natural gas stations across the State that are dispensing a
25 significant percentage of renewable natural gas today.

1 And so that statement taken out of context is a
2 little misleading based on the data we have this year.
3 That's it. Otherwise, I will provide additional thoughts
4 in writing on that.

5 MR. MCKINNEY: Great. Thank you, Tim.

6 Claire?

7 MS. JAHNS: Claire Jahns with the Natural
8 Resources Agency. And this might be a question as well as
9 a comment just because I'm new. I'm new to this, so feel
10 free to add information or correct as needed.

11 But there seems to be, I mean, in the earlier
12 discussion on biofuel production there is a clear potential
13 local benefit both in terms of sourcing feedstock, which
14 then has spillover benefits for life cycle, greenhouse gas
15 and other emissions associated with production and then
16 transportation in use of the fuel.

17 So I'm wondering if there might be kind of
18 synergies between investments in infrastructure and
19 production here I'm focusing on renewable, natural gas.
20 And that might go for hydrogen to some degree as well and
21 if the focus on infrastructure at municipalities and
22 schools, might fail to capture some of that synergy if the
23 production is going to be largely to focus on private
24 sector or both.

25 MR. MCKINNEY: It's a very good question. I'm

1 not expert on this, so I don't know if we have other staff
2 in the room that would want to comment to this.

3 I think from what I've observed at anaerobic
4 digestion plants there's less of a workforce needed there
5 than for say a full-scale biofuels plant where they're
6 bringing feed stocks and have a fairly long and complex
7 technology process and then the offloading. So I think
8 it's simpler, because more of its automated, more of it's
9 injected into from one vessel to another.

10 But I think it's something that we can look into
11 some more and see if those synergies are maybe out there.

12 MS. JAHNS: And on a kind of a related note if
13 there are some regional synergies? I mean, it's often been
14 a topic of discussion in having a methaned super highway in
15 the Central Valley associated with the Dairy Digesters.
16 I'm sorry, but just wonder if there are any past Regional
17 Readiness Grants that are kind of looking for
18 implementation at this point or if in this whole citation
19 for the Regional Readiness Grants, assuming that those
20 might be soliciting renewable, natural-gas production as
21 well as EV and other infrastructure and production if going
22 forward the intent can be created to solicit Regional
23 Readiness Grants that would then be implemented in later
24 years?

25 MR. MCKINNEY: That's a creative suggestion.

1 Let's see, is -- Tim, did you want to add to this
2 discussion?

3 MR. CARMICHAEL: No. You guys have got it.

4 MR. MCKINNEY: Okay.

5 Bonnie.

6 MS. HOLMES-GEN: Yes. Bonnie Holmes-Gen. And I
7 wanted to comment. Not sure if it fits best in this or the
8 vehicle discussion, but these two criteria that were
9 mentioned in the slides at the beginning of the
10 presentation regarding setting some criteria for natural
11 gas that is renewable and natural-gas vehicles that meet
12 the low-NOx standards? I think those are two really
13 important criteria to make sure that we're moving forward
14 with the projects that are the most sustainable, cleanest
15 projects. And move us toward meeting our long-term air
16 quality and greenhouse gas goals, so just wanted to support
17 those criteria. And wondered if it's mentioned in the
18 slides?

19 Is that something that are those criteria
20 something you're considering adding to the solicitations?
21 Or where is that in the process of CEC right now, where are
22 those considerations?

23 MR. MCKINNEY: So it is something that we're
24 tracking very closely and evaluating. It's a conversation
25 we have with the Air Board. And they already have money

1 earmarked specifically for that combination of low-NOx,
2 natural-gas truck engines coupled with bio-gas fueling.

3 And I think a question for us is how quickly can
4 this low-NOx engine come into California markets and then
5 be followed up with the larger engine that's needed as
6 well.

7 And we actually are going to have a speaker on
8 that coming up pretty quickly. Any other comments at the
9 table on this one?

10 Yes, Steve Kaffka?

11 MR. KAFFKA: Our group just did an analysis of
12 the costs of generating methane and methane emission
13 reductions in dairies. And there have been other studies
14 in the State as well. And I think the thing they keep in
15 mind is, as your increment this up, most of the dairies for
16 example are in the San Joaquin Valley. They're not
17 uniformly distributed along Highway 5.

18 The same is true for food processing facilities,
19 wastewater treatment facilities, which have anaerobic
20 digestive capacities. Again they're not uniformly
21 distributed around. And the same is also true for the
22 facilities that are going to be handling municipal solid
23 waste. So there's some distance between where this stuff
24 is and where it will be collected and made available. And
25 the idea of kind of a statewide web of -- unless you can

1 put it in pipelines and there's a lot of obstacles to that
2 right at the moment.

3 So anyway I just wanted to raise that, that
4 there's is some distance between cup and lip in this area,
5 though it needs to be, should probably be addressed in
6 terms of practical steps from Point A to Point B.

7 MR. MCKINNEY: Let's see, can we turn to
8 committee comments on the phone? Do we have anybody,
9 Andrew? One, okay is this a Committee member?

10 MR. MUI: Yes.

11 MR. MCKINNEY: So go ahead, please.

12 MR. MUI: Hi. This is Simon Mui, can you hear
13 me?

14 MR. MCKINNEY: Yes, very well Simon.

15 Yes, go ahead Simon.

16 MR. MUI: With NRDC, okay.

17 Yes, I would just like to follow up too, on the
18 biomethane question. In terms of a Low Carbon Fuel
19 Standard we know that there is, because of the low CIs
20 (phonetic) there is quite a bit more biomethane coming into
21 the system, so to speak and a large potential there.

22 I'd also support CEC as it moves forward around
23 the infrastructure to tie in the biomethane into -- as it
24 thinks about the incentives for natural-gas fueling and --

25 (Audio goes dead.)

1 MR. MCKINNEY: Simon, you're fading out there.
2 Can you try that last sentence again about linking I think
3 biogas with something else.

4 (No audible response.)

5 I don't know if the battery was fading there or?

6 COMMISSIONER SCOTT: I know.

7 (Colloquy off mic regarding audio difficulties.)

8 MR. CARMICHAEL: My members had nothing to do
9 with that.

10 MR. MCKINNEY: Okay, we will be sure to make time
11 for Simon again to complete that thought.

12 With that, and I don't have any blue cards for
13 speakers in the room or -- wait, let me wait for Andrew and
14 Jacob here.

15 Okay, I think Peter Ward did you want to speak?

16 MR. WARD: Good afternoon Commissioner, Advisory
17 Committee members. It's good to be back here with a
18 program I'm fairly familiar with.

19 Today I'm speaking on behalf of Mike Lewis, who
20 is the President of Pearson Fuels who has established many,
21 many E85 stations, natural-gas fueling stations and
22 hydrogen stations in partnership with the California Energy
23 Commission. Mike regrets he can't be here today. He had a
24 previously scheduled travel. Mike asked me to relay his
25 comments for him and his observation. And his observation

1 is since 2012 the E85 infrastructure issue has been
2 discontinued, so to speak.

3 In the Investment Plan, in going forward it has
4 stranded investments that have already been made in the E85
5 infrastructure. It's very difficult to continue to build
6 those E85 structure stations when there are market signals
7 that are decidedly negative. And I think it's important
8 for the Commission and this program to understand that "no
9 comment" can be determined as a negative market signal

10 I think it's important to note that E85 and
11 ethanol have -- basically in the Scoping Plan for AB 32 was
12 one of the major scenarios. It was cellulosic ethanol and
13 FFVs was a lion's share of the fuel that was to be used.

14 There are over a million flexible fueled vehicle
15 drivers in California. But do you note that in the
16 Investment Plan that only about 1 percent of those vehicles
17 ever see ethanol. I think that presents a problem, but
18 it's also an opportunity. If there are a million vehicles
19 out there I think it's important to provide the fuel for
20 them.

21 I think we've been a couple of years away from
22 the controversy that ethanol caused a few years ago. I
23 think now it's time to look at it in a more straightforward
24 and businesslike manner. E85, when California sources made
25 it the lowest carbon ethanol in the State and in the world,

1 really, that can result in a market-based solution to
2 reduce petroleum if we're still serious about petroleum.
3 I started at the Energy Commission in 1977 based on the
4 fact that we needed to reduce petroleum.

5 I feel like an utter failure. (Laughter.) I'm just
6 kidding about that.

7 It can become a commercial alternative that can
8 improve and transform towards the long-sought goals of the
9 California biofuel production. In other words, we had
10 goals set we would produce so much of the biofuels we would
11 use in this State.

12 It can assist the achievement of many of
13 California's public policy goals contained in the Bioenergy
14 Action Plan, the AB 32 Scoping Plan as I mentioned, and the
15 CEC's Alternative Fuels Plan. E85 was a prominent fixture
16 and an important fixture for that.

17 I know my time is blinking.

18 The Alternative and Renewable Fuel Vehicle
19 Technology Program is the only entity that can fund this
20 type of necessary infrastructure. The goals or projects
21 are to reduce use and dependence on petroleum
22 transportation fuels. And increase the use of alternative
23 and renewable fuels in advanced vehicle technologies. It
24 also supports the production of those fuels in the State
25 and expands the alternative fuel infrastructure and fueling

1 stations available to the public.

2 For 85 there is no vehicle subsidy necessary,
3 there's no fuel price support necessary, there's no
4 operation and maintenance station subsidy necessary. It's
5 just a relatively low-cost infrastructure incentive, which
6 are quite cost-beneficial of vehicle, of infrastructure, of
7 fuel costs and consumer choice basis -- and serves the one
8 million FFV drivers.

9 I think that this fuel, it would be great to have
10 enough infrastructure to be able to provide vehicle choice
11 and fuel choice to all of the citizens of California.
12 Those in the disadvantaged communities these are vehicles
13 they can afford and in areas where ethanol is produced.
14 Lowest cost and for the highest gain, that is true capital
15 efficiency. And this program I think with a moderate
16 investment can achieve a great gain in that regard.

17 Mike is requesting that the apparent drift away
18 from support for E85 infrastructure be addressed publicly,
19 soon; perhaps even in this Investment Plan or in a topical
20 workshop.

21 In addition, request that funding be reinstated
22 for the continuation of the good works fulfilling the
23 state's goals and avoid the negative market signal that is
24 sent when issues are not adequately addressed.

25 I'm almost done. This just in Mike also wanted

1 me to let you know that Pearson's 29th and 30th stations
2 have been established and completed. And a station in
3 Yorba Linda opened last week and one at Bell Gardens is
4 opening this week. He's continuing his work. With your
5 help from the Energy Commission he'd like to continue his
6 effort. Thank you.

7 MR. MCKINNEY: Great. Thank you, Peter.

8 Okay, we would like to close out this discussion
9 and move on to Natural Gas Vehicles. And to kick this off
10 we have Stephen Ptucha from Cummins Westport. And is he
11 cued up?

12 MR. PTUCHA: Should be if I can get the ball over
13 here and then I can start my screen.

14 MR. MCKINNEY: Okay, give us a second here
15 Stephen.

16 MR. PTUCHA: Sure. And let me know if you see my
17 screen across there too.

18 MR. MCKINNEY: Okay. You're coming up onscreen.

19 MR. PTUCHA: Perfect. Okay. Well, thank you very
20 much for allowing me to speak at today's workshop session
21 here. I want to give a little rundown on Cummins
22 Westport's lower-emissions technology and our newest
23 products coming out with it.

24 As everyone is aware is the air quality is making
25 California take some steps for improvement. And some of

1 these are both technology development and demonstration
2 funding as well as end-user incentives. And that's what's
3 kind of driving it from our side.

4 What we've seen in the standards and specifically
5 with NOx there's been almost a 97 percent reduction since
6 1990 to the current standards. And then ARB has set out
7 three optional low-NOx standards. And we've seen the steps
8 that they're pushing to make this more than just an
9 optional.

10 And so from the current standard of .2 the first
11 optional standard is 50 percent below that at .1. And then
12 the next standard is again another 50 percent lower at .05.
13 And then the third standard, which is being referred to as
14 "near zero," this is kind of the on-par with the total
15 emissions in that area for electric vehicles is .02, so
16 that's a 90 percent reduction from the current mandated EPA
17 standards in NOx.

18 Now back at the start of 2014 CWI started a
19 technology development project. And this was funded from
20 AQMD and California Energy Commission and SoCal Gas. And a
21 big thanks for this funding. And you'll see in most of our
22 products they have had some engagement, some funding from
23 the various agencies, and helped us get to market with a
24 lot of these. So we're very appreciative of that funding.

25 And we've heard earlier today of the ongoing

1 funding and I'm quite happy to see that, because I think it
2 is making a difference especially with the products that
3 are available out there.

4 So this project, our goal was to hit .02, that
5 lowest standard, the optional low-NOx standard. And for
6 the first year in 2014, we really focused on R&D work and
7 understanding what it would take with a natural-gas engine
8 to hit this low-NOx level.

9 In this past year, and we're kind of coming to
10 the end of 2015, we've taken what we learned in 2014 and
11 looked at the design and did some commercialization design,
12 high-volume manufacture design. And we've also launched
13 field trials and demonstration work to really ensure that
14 we understand that this product will deliver the kind of
15 performance and reliability that's expected out in actual
16 use.

17 So again the first year we spent really
18 understanding the technology. What was it going to take to
19 get to the .02? This hadn't been done before by any
20 internal combustion engine. And so we looked at all the
21 different areas on the engine. Looked at variable geometry
22 turbos and the air handling, looked at port fuel injection
23 in the fuel system. We did a very extensive review and a
24 lot of testing and simulation to really get a feel for how
25 much of an impact that these various changes would have and

1 what's their downside?

2 And from that we then had a good understanding,
3 so we could then make an evaluation of what our
4 architecture would be on the engine.

5 And it's easy to say that you'd throw in every
6 piece of technology to continue to bring the emissions
7 down, but that comes at a cost. And so we tried to balance
8 out both the emission's performance to hit the goal as well
9 as maintaining the fuel efficiency, if not improving it.
10 Watching what the cost will be of this end engine, because
11 that gets passed on to the end-users, and we are sensitive.
12 This isn't a pleasure vehicle for people. This is how they
13 run their business. So we're very sensitive to that side.

14 And then the last two were some key ways to look
15 at this. Both the development time to then commercialize
16 this technology and also the impact on the vehicle OEM and
17 also the impact on the fleets is we want to limit the
18 changes on this engine, so that it can be put into vehicles
19 quickly and put to market quickly. And then it fits in
20 with all of the investments that have been made to date.

21 So with that we then came up with what we have
22 called the ISL G Near Zero Engine product. And that what we
23 ended up selecting from all of that testing and development
24 work that we did, we continued to use the 8.9 liter ISL G
25 base engine, which uses stoichiometric cooled-exhaust gas

1 recirculation spark-ignited combustion. So it's just the
2 chemically right mixture of air and fuel, so there should
3 be no leftover air or fuel.

4 We've added to that a closed-crankcase
5 ventilation system. So that takes a lot of the blow-by
6 that goes past the combustion chamber down into the
7 crankcase. That gets filtered and then reintroduced back
8 into the air intake. It then goes through the combustion
9 process again, so that will reduce the methane emissions
10 and also has an effect on NOx as well. We also did a lot
11 of design to the three-way catalyst. And using a larger
12 catalyst provided the extra NOx reductions that we needed
13 to bring that level down.

14 And then one of the key pieces that isn't as
15 visible on when looking at an engine is all of the improved
16 control and calibration software.

17 In the early days of engine improvements you put
18 on a new component and it reduces emissions in all uses,
19 throughout the whole PV cycle. We're at a point where
20 we're trying so fine with the improvements that we really
21 have to concentrate on the portions of the duty cycle, the
22 operation where high-NOx is formed. And some of that is
23 when you're on and off the throttle.

24 So when you're on the throttle fuel is going
25 through, you heat up your catalyst, it's working very

1 efficiently. When you let off the throttle there still is
2 air going through the engine, but that can change the
3 temperature in the catalyst and that can change its
4 performance. So a lot of the software and controls that we
5 looked at really optimized those operating conditions and
6 focused on those, I'll say high-NOx operating conditions,
7 and to reduce those.

8 So combined in with some of the mechanical
9 components we added or improved, then put this package
10 together and this is where we got the low-NOx.

11 Now, about a month ago we received our
12 certification from ARB and EPA for this engine, so here's a
13 copy of those. And it's hard to read, so I'll blow up the
14 ARB. And this is the air criteria pollutants listed. And
15 if I go and highlight on the NOx, again, the standard for
16 the current, optional, near-zero low-NOx is .02. Our
17 engine here was certified to .01, so we hit that mark with
18 a lot of extra room in there. We tried to get this as low
19 as possible.

20 And then the Co2 again we are lower than the
21 standard, we meet the 2017 requirements as well as we'll be
22 set up nicely for the Phase 2, which haven't come into
23 effect yet.

24 And the reason that this is so important it shows
25 that the internal combustion engine, one hasn't reached its

1 limit for how low on emissions we can go. And also that it
2 is here now, it's not something that needs to be worked on
3 for ten years and in the future we could have a low-
4 emissions engine. This is certified, this is I'll say the
5 engine is getting close to being ready to go.

6 And to kind of put it in perspective here if we
7 look at emissions and we take a 1985 bus, for instance, and
8 if it met the standard for NOx way back then at 10.8 grams
9 per brake horsepower per hour and we'd say, "What's that
10 equivalent to the current 2010 standards at .2 NOx?"
11 That's about equivalent to 54 buses.

12 Now if we look to this optional low-NOx standard
13 that is .02, that original bus that just met the standard
14 back in '85 that would be equivalent to about 540 buses
15 there.

16 Now this engine, our ISL G Near Zero we've
17 certified to .01 and so if you look at the equivalent
18 number of buses for that emissions that's over 1,000 -- 10
19 to 1,080 buses.

20 So visually this kind of gives you a picture of
21 how significant of the reductions we've been able to
22 achieve. And it has been because of CEC and others helping
23 us fund the development of this technology. And the ARB
24 for pushing some of these standards in there and saying,
25 "Hey, we think we can do it."

1 So this engine is scheduled to go into production
2 in the second quarter of next year. Based again on our 8.9
3 liters, so that will be the size. It carries over the peak
4 rating of our current ISL G, and so it tops out at 320
5 horsepower, a 1,000-foot pounds of torque.

6 And it will be certified as I showed you there.
7 We have all of the certification. And it maintains that
8 three-way catalyst, the passive kind-of-forget-about-it is
9 packaged in as a muffler. You don't need to do anything
10 about that three-way catalyst, so it's a nice feature that
11 the fleets have enjoyed. And this is compatible with CNG
12 or LNG.

13 Here's the full ratings that it will have and
14 that's again the same as what our current product is. And
15 we've tried to maintain this, so it's as little impact on
16 the end-users and the OEM vehicles as possible. So they
17 can easily change to this engine and have it available to
18 fleets. It will still be targeting the same markets as the
19 ISL G does right now; just transit, refuse and medium-duty
20 trucking.

21 And just to point out that our medium-duty trucks
22 with this engine is limited to 66,000 pounds gross vehicle
23 weight. If applications need 80,000 pounds or more then
24 probably our bigger engine, the ISX12 G is better suited
25 there. I know there's also applications for shuttle and

1 school bus and vocational.

2 So this is the first of our engines that we're
3 taking to near-zero. This will be available in new
4 vehicles through our OEM partners. It will also be
5 available for vehicles that are having engines replaced for
6 repower, which is common for transit buses halfway through
7 the vehicle life. It will not be available through
8 retrofit where calibrations and parts are added to an
9 existing engine. Again, it will be new vehicles and
10 repowers there.

11 The technology that we've developed is portable
12 to our other engine platforms, the larger ISX12 G and also
13 to the smaller ISB 6.7 G, which will be released in the
14 April timeframe of next year as well.

15 So we can take that technology and apply it to
16 those engines. That's still a fair bit of development work
17 and we are pursuing avenues to do that. And again working
18 with agencies to see how we can quickly accomplish that.

19 But this is a start one and then again this will
20 be available in the second quarter of this coming year.

21 I open it up to any questions there.

22 MR. MCKINNEY: Hi, Steve. This is Jim McKinney
23 with the Energy Commission. Thank you very, very much for
24 taking the time to put together the presentation. I think
25 I can speak for our staff that we are very, very excited to

1 have this become available more quickly than we'd
2 anticipated, by a year or two.

3 I know one question that Tim Olsen asked me to
4 ask is how quickly can you ramp up, and are you willing to
5 share any production or sales projections with us at this
6 time?

7 MR. PTUCHA: Yes, this engine will be made where
8 the existing ISL G is made at Rocky Mountain, North
9 Carolina, the engine plant there. And that's where the
10 diesel version is made as well. And so that plant is set
11 to handle our current ISL G volumes. And we expect that
12 this one will, certainly by the excitement we've seen, will
13 add to that volume. I don't see any issue with that plant
14 being able to handle the ramp-up.

15 As I said this isn't going to be available to
16 OEMs till second quarter. And that time difference or the
17 a reason for that, that time there is we still have the
18 finishing touches to do on a commercial product. So it's a
19 lot of that is to get that final process worked out at the
20 plant. And that's what we're working through now. They
21 shouldn't have any issue ramping up there.

22 Now, volume-wise we are looking at the market and
23 we see certainly a lot of interest from California. We
24 then see interest from other non-attainment areas in around
25 the country.

1 Now, with the actual volumes I don't have actual
2 numbers that I can share with you. That's been one topic
3 that even we've looked at and have, I'll say, different
4 views on the estimates there. We see lots of excitement.
5 A lot of people though didn't believe it was possible and
6 thought it was years away.

7 So I think it surprised us a little bit that we
8 could do it so quickly. We have really pushed though to do
9 this. So we expect to hear in the coming months, since we
10 just got the cert and we just kind of officially announced
11 that the launch is second quarter. We expect to hear that
12 feedback of customers wanting orders and all of that soon,
13 so we'll be able to tell when we ramp up what the
14 expectations are there.

15 MR. MCKINNEY: Great. Again, thanks very much.
16 Commissioner, do you have any questions for Mr.
17 Ptucha?

18 COMMISSIONER SCOTT: No, just thank you for the
19 good presentation.

20 MR. PTUCHA: Well, thanks again.

21 And again, thanks for all the help that we've had
22 with the funding of technology and vehicle demonstrations.
23 We certainly see that it makes a difference in helping us
24 bring the products to market there.

25 MR. MCKINNEY: And Steve, if you can hold the

1 line I think one of our committee members, Steve Kaffka,
2 would like to ask you a question.

3 MR. PTUCHA: Sure.

4 MR. KAFFKA: Yeah. Hi, very interesting
5 presentation and congratulations on your progress. I was
6 just curious is there a range limit; is there any tradeoffs
7 with range when you're using a CNG fuel?

8 MR. PUTCHA: No. So one of the goals of the
9 development project was to maintain or improve the fuel
10 economy. So and what is coming out is it will have about
11 the same fuel economy as the existing ISL G. So whatever
12 the range of the vehicle, which is dictated by the size of
13 the tanks, the CNG or LNG tanks on there, this engine with
14 that same-size tanks will get the same range.

15 There shouldn't be any detriment to the current
16 product.

17 MR. KAFFKA: Thank you.

18 MR. MCKINNEY: And Sekita, do you have a question
19 for Steve?

20 MS. GRANT: Yeah, I had two quick -- thank you
21 for the presentation -- two quick questions.

22 This one might be obvious, but is it possible to
23 use RNG with this technology? Yes, Tim is nodding yes. He
24 knows.

25 MR. PTUCHA: Absolutely.

1 MS. GRANT: Yeah, okay. The second question is
2 if you can give us a sense of the demand that you're
3 hearing for this technology, particularly just out of
4 curiosity, outside of California and the other markets
5 throughout the world or throughout the country?

6 MR. PTUCHA: Yeah. And so just to touch on the
7 RNG, and I should have mentioned that, is the existing GHG
8 benefit that we have we've shown one, that's just the
9 engine. You throw it into the life-cycle cost of the
10 vehicle and the fuel upstream and certainly when you throw
11 in RNG that upstream emissions is looking far more
12 favorable compared to the other fuels around there.

13 Assuming that the fuel is meeting the fuel spec
14 that's in place right now there's no change in fuel spec
15 for this engine as current product. Then it should be
16 capable of however much of a blend of RNG is in the fuel
17 there, so that should be fine.

18 Interest from outside, again it's a little muted
19 in the sense of early on before we announced the product
20 -- and we've only announced it in the last month or so --
21 the discussions are a lot of fleets and air-quality
22 agencies are interested in this. But they're saying, "Hey,
23 that's years away, so we are interested. Eventually it'll
24 be there."

25 Since it's come out, it's only been a short

1 amount of time. We're already getting fleets inquiring
2 about the differences. We're trying to communicate those
3 differences quickly. We're hearing a lot of transit fleets
4 interested. And some of the things that they are saying
5 is, "Can we switch over orders that may be already placed?"
6 As well as looking at some of their repowers that they do
7 halfway through the vehicle life they are looking at this
8 is an option in the repower to then reduce their existing
9 fleet, so not purchasing new vehicles, but their existing
10 vehicles to take it down to this low-emissions level.

11 Again, though then their flipside is, "What's the
12 cost going to be and what are the incentives out there?"
13 And as the incentive packages are being finalized and being
14 made available then I think you put it all together and
15 then we'll see the real demand there.

16 It still is a little early and I don't have
17 numbers to kind of share of actual demand there.

18 MS. GRANT: Thank you, very helpful.

19 MR. MCKINNEY: And then Chris Shimoda, did you
20 have a question?

21 MR. SHIMODA: I'll wait until the last
22 (indiscernible)

23 MR. MCKINNEY: Great, okay.

24 Okay, I want to kind of close out the questions
25 to Mr. Ptucha from Cummins Westport.

1 Again thank you very much Steve, a great
2 presentation, and congratulations on accelerating a
3 development timeline for that product. And we are waiting
4 anxiously here in California.

5 MR. PTUCHA: Well, thank you. Thank you very
6 much.

7 MR. MCKINNEY: Okay. Yeah, Chris do you want to
8 lead off the discussion for Natural Gas Vehicle Funding?

9 MR. SHIMODA: Sure. And thanks, Steve, for that
10 really good presentation on the .02 engine.

11 And I just wanted to say, number one, just on
12 this particular item to note the success of the transition
13 to the UCI voucher model. My understanding is that program
14 was oversubscribed within -- I know the estimates vary, but
15 very quickly.

16 And to also note that to Stephen's point about
17 trying to figure out what the demand for these engines are,
18 it's the reality as far as I can tell, especially with the
19 private fleets that the demand is still largely being
20 driven by incentives. And so the importance of continuing
21 these programs cannot be overstated.

22 On the subject of low-NOx within this particular
23 program I think we do need to take a very measured approach
24 to figure out when the trucks, buses or refuse vehicles,
25 whatever we're funding, when those vehicles are going to be

1 available. Because there is a live time between when the
2 engine is certified, when it's produced, it's going to be
3 debugged and then finally put out into the market.

4 And I would definitely not support cutting off
5 incentives for the none low-NOx engines at this time,
6 because there is still a need to grow the overall market
7 share in general.

8 And then finally just on the renewable
9 requirement, I know this was touched on before a little bit
10 in the previous section. I just did want to note that this
11 would be a major policy shift to start requiring very
12 specific types of fuels to go into specific incentivized
13 vehicles. I don't think that we've ever really done this
14 before in any other programs I'm aware of for vehicle
15 incentives.

16 And this is still a subject of debate amongst
17 both state agencies and the legislature. So I would just
18 urge caution that we probably shouldn't get ahead of the
19 debate that's going on right now about how renewable fuels
20 are kind of injected into this system.

21 I just kind of say what I said during when we
22 debated this in the Legislature that the point of
23 regulation for fuels getting into the system has always
24 traditionally been upstream. It's starts getting very
25 burdensome when a fleet owner to get an incentive you

1 actually have to track every gallon of fuel that's going in
2 at every single point to make sure it has a specific,
3 renewable content.

4 So we'd urge that that responsibility for getting
5 the renewable fuels into the system upstream with the fuel
6 suppliers.

7 MR. MCKINNEY: Tim Carmichael.

8 MR. CARMICHAEL: Thank you. First, let me say
9 that -- let me start. I've got about a half hour of
10 comments to make the same point that Steve made with that
11 one slide on the buses, on how much cleaner the CWI engine
12 is. And I don't think that slide quite did it, so I'm
13 going to go ahead and do those comments. Not really.

14 But to me even if you took currently available
15 engine technology and did the same slide it's a dramatic
16 leap forward. And the more you talk to different agency
17 people around the company, the more you talk to engineering
18 folks, everyone is saying this is a tremendous step forward
19 for clean air.

20 And appreciate the presentation, but also very
21 much appreciate that whole team's effort, which included
22 funding from this agency, to make it a reality. So I'm
23 looking forward to that rollout and production next year.

24 I want to echo the comments that Chris just made.
25 I think we are going to get to a point where it makes sense

1 to support incentives for only low-NOx engines. And to
2 make sure we've got mechanisms in place to increase
3 renewable natural gas in addition to the LCFS program. But
4 I'm not sure we're quite there yet.

5 And actually we've had this conversation a couple
6 times with ARB this year. And I consider it an ongoing
7 conversation, because most of the industry that I represent
8 are jumping for joy with this low-NOx engine availability.
9 And most of them are very supportive of increased use of
10 renewable natural gas. It's not resistance about the
11 prospect there it's resistance about how to make the
12 mechanics work without creating headaches.

13 And to Chris's point, just to put a number to it,
14 believe it or not we're still only at 1 percent of the
15 heavy-duty truck market. We're only at 1 percent with
16 natural-gas trucks.

17 And there is this relatively large industry. We
18 refer to them as the petroleum industry that wants to
19 continue to sell diesel trucks and lot of them diesel fuel.
20 So I hear all the time from my members we need to be
21 cognizant of that. And let's not leap ahead so
22 aggressively that we in any way hurt this budding
23 alternative fuel that has tremendous potential.

24 I want to refer back to a comment -- it was in
25 the presentation this morning -- staff talking about CNG

1 pricing. I was at a workshop at UC Davis a few weeks ago
2 talking about natural gas and the prospect for petroleum
3 prices to stay where they -- there are some global fuel
4 experts there who laid out that their best guess is that
5 we're going to see petroleum prices stay basically where
6 they are for three to five years.

7 And I was not happy to hear that, because I was
8 worried about what does that mean for the rollout of this
9 low-NOx engine? What does it mean for the prospects for
10 renewable natural gas, fossil-fuel natural gas?

11 And one of the points that was made a couple of
12 times that I want to share with this group is, "You look at
13 the average price that's out there reported on various
14 websites or in the papers for diesel and the average price
15 for CNG. And you think, Wow, there's not much of a
16 differential there. How is a fleet going to justify that?"
17 And it is a challenge, but it's important to note that many
18 if not most of the refuse fleets and many if not most of
19 the transit fleets are not paying that average price. They
20 are paying significantly less than that and still seeing a
21 fuel-price benefit that's meaningful between natural gas
22 and diesel.

23 And I'm hearing that not only from some fleets,
24 but I'm hearing it from the sellers of the trucks. So
25 there's still a motivation in addition to clean air for

1 many of these fleets to embrace this new technology and the
2 alternative fuel, in general.

3 I also wanted to speak briefly to the Natural Gas
4 Vehicle Incentive Program, which rolled out pretty smoothly
5 at the beginning of August. And I think UCI has done a
6 good job responding quickly to various inputs that they've
7 been getting for requests for additional information
8 sharing. But even included posting on their website which
9 I think really helps people understand how the program is
10 working.

11 The initial solicitation was for \$10 million or
12 just over \$10 million. There were roughly \$17 million,
13 \$17.5 million in proposals received. I'd say about 10
14 percent of that there's some glitches with, but we're still
15 looking at an oversubscription of let's say \$6 million or
16 close to \$6 million.

17 One of the ideas floated is that program -- as
18 the program was being transitioned and there was
19 discussions about the rollout of this administrator -- was
20 the value doing of a 90-day review. That would not only
21 give an opportunity to get feedback on how well are things
22 going with the UCI management with the voucher approach,
23 but also be what I hoped to be the catalyst for a pretty
24 rapid augmentation to cover that oversubscription, which
25 today is about \$6 million I think even if you take away the

1 problem applications or the incomplete applications.

2 And so we're at 90 days, the beginning November
3 is 90 days from when it rolled out. I want to encourage
4 the CEC. I've already sent an email to staff and to UCI
5 about this, but I want to encourage the Commissioner and
6 other managers here to push for this, because I think it
7 will be valuable for the further implementation of the
8 program. And I think it's appropriate to do that before
9 you augment the funding that you've already allocated. And
10 we want to do that augmentation as soon as possible.

11 I think that's it. Actually, I want to take this
12 opportunity to mention one other item I should have
13 mentioned at the beginning. I think Bonnie referred to the
14 importance of coordinating this program's efforts with the
15 sustainable freight efforts and the Scoping Plan efforts.
16 I want to add to that list.

17 ARB recently released the draft of their Mobile
18 Source Strategy. There's some new concepts and some new
19 data in there. And I want to make sure that the CEC is
20 looking at that document. And it's not finalized, it's a
21 draft.

22 So if you conclude that it's more appropriate to
23 incorporate that in the next round let's have that
24 conversation. But I think some of it, the data and points
25 made in that plan are not likely to change. And so it may

1 be totally appropriate to incorporate some of those points
2 into this update. And so I wanted to encourage the staff
3 to take a look at that. Thank you.

4 COMMISSIONER SCOTT: I think those are great
5 points.

6 I have. I'm not sure if the rest of staff as you
7 probably have, but we've been briefed on the Draft Mobile
8 Source Plan and have been thinking about that as well. And
9 we'll continue to work closely with the Air Resources Board
10 I think as we go forward, with that in this Investment
11 Plan, so I appreciate that suggestion.

12 MR. CARMICHAEL: I neglected to say that we
13 strongly support the allocation recommended, but we're
14 going to make a pitch for even more. And I'll wait to --
15 actually no, I'll make it right now. And we can come back
16 to this if you want,

17 But I think as I made the point with the biofuel
18 production, I think it's appropriate to augment this
19 category as well. There's a tremendous ripple benefit to
20 these vehicle incentives. I think the demand is there. I
21 think we've now got good evidence of that.

22 And I'm anticipating Jim McKinney's question of,
23 "So, if you were king for a day, where would you shift the
24 money from?" And I would recommend and will in my written
25 comments that we shift it from the next category. And I

1 can get into more details on that when we cover that,
2 because I have a few comments on that. But I do think we
3 should be looking at that or making that change.

4 MR. MCKINNEY: Great. Thanks very much, Tim.

5 Are there any other comments from Committee
6 members here in the room? Any comments from Committee
7 members on the phone, one?

8 MR. MUI: Hi, it's Simon Mui saying hi. It
9 sounds like I got cut off on audio on my last comments.

10 I did want to talk a little bit and clarify I
11 think some of the -- I'm hearing the concerns from some
12 folks in the industry about biomethane requirements or low-
13 NOx requirements.

14 One of the things we look at from an
15 environmental standpoint is sort of in terms of the program
16 benefit the justification for incentives is that it indeed
17 provides some type of societal benefit in terms of reduced
18 air pollution or reduced GHG emissions. And one of the
19 things that obviously to the extent that the low-NOx
20 technology is, and can provide those reductions, that is an
21 important element in terms of is gearing for incentive
22 funding.

23 Some of the older natural-gas technologies have
24 been compared with diesel. You know, the criteria emission
25 benefits have shrunk over time, I understand that there was

1 in-use benefits still from CNG. But really when talking
2 about maximizing some of the GHG emissions and NOx-
3 reduction benefits of the program, that you're
4 incentivizing technologies that are really geared towards
5 low-NOx. And integrating biomethane with it, are key to
6 maximizing that.

7 And finally, I think in terms of the LCFS that it
8 would be good if to clarify it for the recent data in terms
9 of the amounts of biomethane that are being credited into
10 the system already as sort of a baseline. I agree that you
11 generally don't -- you have a system in place that's under
12 the LCFS and that is already -- you know, it has the
13 reporting and all of that built into the supply side, the
14 upstream side.

15 You may be able to avoid this concern -- I think
16 it was that Chris flagged -- that you'd have to have
17 individual refueling stations reporting data. I think that
18 can be avoided, but it would be good to clarify that.

19 Thanks.

20 MR. MCKINNEY: Great. Thank you, Simon.

21 And I see Chris has his name card up. And did
22 you want to speak again as well, Tim? Okay.

23 MR. SHIMODA: Yeah, and just to respond to Simon.
24 I know a lot of the debate about biomethane use in
25 specifically incentivized vehicles surrounded around the

1 accounting for the Greenhouse Gas Reduction Fund and having
2 to show a benefit. And there are a lot of ways that you
3 can shape programs to share that benefit without going this
4 fuel route.

5 For instance, a retirement program that would
6 require a 2010 model-year diesel truck to be retired for a
7 Phase 2 compliant, this is the greenhouse-gas role in the
8 federal level.

9 A low-NOx engine you could show a 40 percent
10 greenhouse-gas reduction benefit just from the aerodynamics
11 alone. And so I don't think that accounting issue for the
12 GGRF is a huge hurdle for us to get over.

13 There is not the same sort of accounting issue
14 with AB 118. I just wanted to point that out; that for the
15 purpose of dispersing these funds that's not necessarily an
16 issue for us right now.

17 And to Simon's point also, yeah I think there are
18 upstream mechanisms that we would get to that would not
19 hopefully result in a specific incentivized vehicle fleet
20 owner to keep track of all the stuff, because it would be
21 extremely difficult to get anybody to take this money if we
22 start going that route.

23 So the debate should continue. And I think that
24 either through this process or through future legislation
25 we'll get something hashed out.

1 MR. MCKINNEY: Okay. Thank you, Chris.

2 Tim?

3 MR. CARMICHAEL: Two additional comments, please.

4 To Simon's question about what is a good LCFS
5 number for renewable natural gas, the latest numbers -- and
6 I've spent a bit of time on this, this year -- the latest
7 numbers that I've seen are 34 percent of the natural gas
8 used in transportation this year is renewable natural gas.
9 But there's a gap of about 25 percent between the volumes
10 of fuel that other tracking systems show is being used in
11 natural gas transportation and what is being reported under
12 the LCFS program.

13 So only 75 percent of the fuel that CEC and
14 others believe is being used for natural-gas transportation
15 in California is currently being reported under the LCFS
16 Program. We're still trying to get a handle on why.
17 It's not obvious and it's not a single reason, but round
18 numbers, 34 percent of the natural gas that's being
19 reported in the LCFS is renewable natural gas this year.
20 And that number is growing. And with the value of credits
21 going up under the LCFS Program I think that number is
22 going to grow more.

23 One other data point I think you've heard before,
24 Clean Energy reported earlier this year that virtually all
25 of the natural gas that they were selling through their

1 southern California stations this year was renewable
2 natural gas. And they're the largest station operator in
3 Southern California.

4 The second point is Simon's point about the value
5 of incentivizing the low-NOx engines and having some sort
6 of renewable natural gas component or lower GHG fuel
7 component. I think brings me back to if we had a few more
8 metrics woven in to how we're evaluating what we fund and
9 prioritize for funding, his points would play out in the
10 numbers, if you will. And I want to encourage that again.

11 MR. MCKINNEY: Very good. Okay, thank you, Tim.

12 COMMISSIONER SCOTT: Hang on, Chris might -- do
13 you have to leave?

14 MR. SHIMODA: (Indiscernible)

15 COMMISSIONER SCOTT: I might want to call on you
16 first for medium and heavy-duty advance then, so that we
17 get your thoughts before you go. So I just wanted to make
18 sure we get that in.

19 MR. MCKINNEY: Yes, okay.

20 COMMISSIONER SCOTT: Yes. Peter, go ahead.

21 MR. COOPER: I'm Peter Cooper with the Employment
22 Training Panel. I'm wondering if I can speak briefly. I
23 have a meeting at Labor Agency in about 20 minutes. It's
24 right next door, so it's not that far.

25 COMMISSIONER SCOTT: Yes, let's do that.

1 MR. COOPER: So if I can skip ahead, I'd really
2 appreciate that.

3 COMMISSIONER SCOTT: Of course.

4 MR. COOPER: Great. So we appreciate the
5 partnership that we've had with the Energy Commission. And
6 especially working with David Nichols from your staff who
7 has been very accommodating.

8 And one of things that I wanted to bring up,
9 which new members may not know and many of you that have
10 been here do, is that our program through ETP is a contract
11 program. So there's really bang for your buck as far the
12 funds that are administered by ETP. You know that they'll
13 be used wisely. Employers don't get paid until training
14 occurs and somebody is placed in the job, so it's "pay for
15 performance." It's a great model.

16 The funds that we get from the AB 118 are great
17 for us in the sense that we're able to reach the public
18 sector, which we normally can't do with our core funding.
19 And so this is really important as we reach out to fleets
20 and municipalities and support the great work that's going
21 on here in the workforce world.

22 Also, we are able to -- through this funding we
23 have been able to reach a number of trainees. So if you
24 look our numbers that have been reported we're up nearly at
25 14,000 trainees that have received support from the AB 118

1 fund.

2 That being said we continue to get strong support
3 and strong, I should say, demand for funding from
4 employers, from municipalities. And we see this demand
5 continuing going forward. And for that reason we would ask
6 that you would consider continuing to fund the ETP. As you
7 may see in the Plan for '15-'16 there is no funding
8 allocated for ETP. And we're almost tapped out of money.
9 We have about 500,000 -- a little bit less than \$500,000
10 left from the AB 118 dollars. But our demand is much
11 higher than that. So I would request that the Energy
12 Commission and advisers consider continuing to fund the
13 ETP.

14 One of the concerns that I have, quite frankly,
15 is the signal that we may send to employers, to the
16 workforce world as well, if our funding all of a sudden has
17 this hiccup, has a stop in funding availability. And we've
18 had that issue before with our authority to spend money.
19 We fixed that problem and now we'd like to see the funding
20 continue in some manner.

21 So I just wanted to make those comments. We're
22 happy to be here and look forward to working together with
23 everybody to support what's going on.

24 COMMISSIONER SCOTT: Thank you so much, Peter.
25 And we're happy to have you here and delighted to get to

1 work with you all in partnership. We really appreciate the
2 good collaboration.

3 Let me just ask the members around the table if
4 you have any burning questions for Peter before he heads
5 out.

6 (No audible response.)

7 Okay, great. Thank you so much, Peter.

8 MR. COOPER: All right, thanks.

9 COMMISSIONER SCOTT: Now we'll shift back to
10 Medium- and Heavy-Duty Advance Vehicle Technology
11 Demonstration and Scale-Up.

12 MR. MCKINNEY: Yeah, so almost, Commissioner.

13 COMMISSIONER SCOTT: Okay.

14 MR. MCKINNEY: We did have one blue card from a
15 public speaker who wanted to talk to Natural Gas Vehicles.
16 Trent Smith? Oh, whoops. Okay. And we hopefully will get
17 his comments in writing then.

18 Okay. We are now going to turn to the Medium-
19 and Heavy-Duty Advance Vehicle Technology Demonstration and
20 Scale-Up.

21 And I think Andre, you're going to kick us off
22 with this?

23 MR. FREEMAN: Yeah, yeah.

24 MR. MCKINNEY: At the end? Okay. He's not
25 usually so shy, but okay.

1 Okay. We'll start with Chris Shimoda.

2 MR. SHIMODA: And yeah, I apologize. Like Peter
3 I scheduled a meeting for 4:00 o'clock on a Friday. I have
4 no idea what I was thinking, but just a question on this.

5 Knowing the amount of resources that the ARB is
6 pouring into the low-carbon transportation fund could you
7 guys talk a little bit about how you see this particular
8 program complementing or kind of fitting within what
9 they're doing with their demonstration pilot program -- the
10 kind of slate of projects that they're doing?

11 MR. MCKINNEY: Actually, I am going to ask Andre
12 if he'd like to speak to that point.

13 MR. FREEMAN: Sorry, I must apologize. We were
14 dealing with a technical issue, so I wasn't listening. Can
15 you repeat your question?

16 MR. SHIMODA: So Andre, if you could talk a
17 little bit about how this particular category in AB 118
18 both complements or works with the low-carbon
19 transportation fund programs that are somewhat similar?

20 MR. FREEMAN: Okay. I'm going to have to be a
21 little bit cryptic, because we are currently developing our
22 next demo solicitation.

23 And one of the things that we do is work with
24 Peter's group actually, who heads up a lot of the medium
25 and heavy-duty demonstration projects pilot deployment

1 projects over there. And so one of things you'll see
2 through our next solicitation is that we're really trying
3 to find our area that isn't already covered by the other
4 solicitations that are out there.

5 We have to kind of keep track of how much GGRF
6 funding is going to those areas. We still do believe that
7 there are areas that aren't being covered. As Commissioner
8 Scott mentioned earlier we're working directly with the
9 (indiscernible) to figure out where those gaps are, where
10 we could best utilize our funding to get vehicle
11 demonstration projects of all types out on the road.

12 So stay tuned for upcoming solicitation. We'd
13 love to get a more detailed input for you when we have the
14 actual detailed plan laid out there.

15 MR. SHIMODA: And I don't think that I'm making a
16 specific recommendation on \$23 million, but just an
17 observation that I know ARB programs and CEC programs in
18 the past have done kind of swaps of resources.

19 Given the limited amount of money in AB 118, the
20 relatively sizable amount of money in GGRF, and then just
21 kind of the "less strings attached" pot of money that you
22 have here I'd like to just plant the seed that there may be
23 an opportunity to swap out some resources from the Low-
24 Carbon Transportation Fund, which I think you'd speak to
25 Peter here, who's very intimately involved with that

1 program. But I think we all want to see more dollar move
2 through the budget process get into that program, but just
3 to throw that out there -- making no specific
4 recommendation for that dollar amount to move, but just
5 that that may be an option to free up resources, for
6 instance -- for Tim's vehicle incentive, kind of stop-gap
7 funding.

8 MR. MCKINNEY: Jim Carmichael?

9 MR. CARMICHAEL: I did not -- yeah, I did not ask
10 Chris to say that, but thank you.

11 I feel like -- well, let me start with the
12 positive. I strongly support a creation of this category.
13 I feel strongly it's a very important category. I am quite
14 skeptical of the proposed funding allocation. And I think
15 some chunk of this should be distributed to a couple other
16 categories -- namely, biofuel production and natural gas
17 vehicle incentives.

18 Obviously, I'm being a little -- I'm focused on
19 the things I'm working on right there, but I think there's
20 strong arguments for augmenting both of those categories.
21 And I don't think the plan as drafted makes the case
22 compellingly enough for \$23 million. Especially when you
23 consider that ARB is putting a chunk of change into this
24 effort already. I'm not in any way saying it's not an
25 important category. I'm not saying CEC shouldn't provide

1 significant funding. I'm questioning the 23 million.

2 Thank you.

3 MR. MCKINNEY: Okay. Bonnie?

4 MS. HOLMES-GEN: Thanks. I wanted to express our
5 support for this category Sand for this allocation. I'm
6 happy to see there's been a steady increase in the amount
7 of money in this particular basket for the past three
8 plans. And I think that's moving in really a positive
9 direction.

10 I think for the past three years as I had
11 recalled there had been a lot of great discussion about the
12 importance of this category from everybody around the table
13 including Tim. And so it's just interesting how the
14 discussion shifted a little bit.

15 I think this is incredibly important to moving
16 our zero emission agenda in California, which as we've
17 talked about is the basis of not just our greenhouse gas
18 goals and targets, but our criteria pollutant efforts.
19 It's incredibly important to assisting disadvantaged
20 communities. And there's so much more that needs to be
21 done around cleaning up freight corridors and bringing zero
22 emission technologies around freight corridors.

23 And this is, you know, we always want to see more
24 money in all these categories, but this is a significant --
25 this is a very significant effort that we have to deploy

1 these, to demonstrate and deploy these zero emission
2 technologies near freight corridors. And that can have
3 immediate health benefits.

4 And just stepping back a little bit I think that
5 the -- I really appreciate the staff. I didn't go into all
6 the thank yours to the staff, but I do thank all of you for
7 the work that you've put into this plan. And I think
8 others have covered that.

9 I think there's a really good balance between
10 allocations for the nearer-term technologies and keeping
11 our eye on the longer term. And I know over the years
12 we've had this discussion about this tension between the
13 near-term and the long-term and I just want to make sure
14 that we keep our eye on the ball. The importance of
15 getting the transformation, getting to the sustainable most
16 -- you know, the cleanest, most sustainable, lowest carbon
17 technologies that can bring us to our 2050 goal. I think
18 that's a critical piece of this.

19 I want to speak up for that goal, because I think
20 we've had a lot of discussion here about maybe reducing
21 allocations and focusing more on narrow-term goals. So I
22 think it's very important to keep that long-term goal in
23 mind. And keep the funding allocations to move
24 technologies like hybrid electric, electric, and fuel cells
25 that have a very important role in that long-term goal.

1 So I just wanted to throw that out there. I do
2 have to leave a little early, I apologize. I think this is
3 a really incredibly important discussion. And I think that
4 this plan, as we've talked about, is critical to moving
5 forward on the ARB's Freight Strategy. It's critical to
6 the Mobile Source Strategy and to the Scoping Plan.

7 And I think more and more we need to frame our
8 discussions in the sense of how are these allocations
9 moving all of these goals forward? And I appreciate we
10 have representatives from ARB and other agencies here, but
11 maybe we want to schedule -- maybe at the next meeting -- a
12 more formal presentation from some of our sister agencies,
13 like ARB, as to how this plan is moving these different
14 balls forward. And just get a better sense of how we're
15 coordinating as we move forward in these different planning
16 processes.

17 And I know you are doing it, but it'd be helpful
18 for us to hear a little bit more about how we are making
19 those connections and where the gaps are. So I just would
20 toss that suggestion out.

21 MR. MCKINNEY: Great. Thank you, Bonnie.

22 See, I think next was Joe?

23 MR. GERSHEN: Thank you. I also wanted to
24 support what Tim said. I think it makes a lot of sense for
25 certainly biofuels production.

1 With all due respect to Bonnie, you know
2 demonstration by definition doesn't provide immediate
3 benefits. It's demonstration and while we all want to go
4 for the 2050 goal I think it's important to remind us that
5 we also have the 2020 targets. And like I said the
6 biofuels are providing 90 percent of all the carbon
7 reduction and it looks like they're going to keep doing
8 that for some time.

9 So I support moving some funding there, thanks.

10 MR. MCKINNEY: Thank you, Joe.

11 Ralph Knight?

12 MR. KNIGHT: I just want to thank staff on the
13 support to the medium and heavy-duty advanced vehicles. I
14 think not only demonstration, but scale up. You know, I
15 think the yellow bus finally has an opportunity to see some
16 electric vehicles out there running and doing a good job to
17 make a selection.

18 And I think with some of the restrictions that
19 are being held to those of us in Northern California,
20 instead of the San Joaquin Valley, we have a tough time
21 getting those funds to try to do that. Same thing as far
22 as the disadvantaged areas throughout the Bay Area, not
23 everybody can qualify for that. And I think that it's
24 making it very, very tough for lots of us in Northern
25 California to be able to get those fundings.

1 And I can tell you that a lot of people keep an
2 eye on certain individuals throughout the State on the plus
3 and minuses of these electric vehicles or any vehicles, any
4 technology out there. And I think that we're not being
5 able to see that. We're happy to be involved with the
6 Clinton Initiative going on, to have two buses coming to us
7 with that, that are going to be V2G, V2B.

8 I think the advancement of electric vehicles --
9 what better source do you have in a school bus fleet than a
10 fleet that's sitting there all day long to go back to the
11 grid? Same thing in a disaster, what better advantage do
12 you have, but a fleet of buses sitting out there to be out
13 there to power up all the emergency services that are
14 needed?

15 So I think there's a lot of ways to be able to
16 try to do this. And I'm not saying that -- you know, a
17 small percentage going to Northern California is better
18 than nothing at all. And I think if we just look at it
19 under those terms we're gaining the same thing. We're
20 putting clean buses out there and we're accomplishing the
21 same things out there too.

22 MR. MCKINNEY: Okay. I want to go to Randy and
23 then Steve Kaffka.

24 MR. ROESSER: Yeah, I just wanted to make a quick
25 comment that I certainly appreciate Chris's comments and

1 Tim's comments, Joe's. And again, I mean, all of us have
2 said this today, there's not enough money to go around in
3 all the important areas.

4 But I guess in defense of the 23 million proposed
5 allocation here, this allocation addressed several of the
6 ideas that this Committee today voiced the importance of.
7 The first one being oversubscription.

8 The last solicitation that this area did we
9 turned away \$40 million of qualified projects that could
10 have received funding if this sector of this allocation
11 category had more money. So certainly -- and that
12 information, by the way, is in the plan in specific detail
13 -- the \$40 million oversubscription.

14 Also we talked about the need for specialized
15 refueling structure that the heavy-duty sector is going to
16 need for electric vehicles, hydrogen vehicles and so on.
17 This sector speaks to that issue that some of this money is
18 likely to be earmarked for that specialized infrastructure
19 that is needed.

20 The third item that I would say that supports
21 this allocation is the sustainable freight effort -- the
22 Governor's Executive Order -- which is going hand in hand.
23 And we see this playing a major role of the Energy
24 Commission's support in working with the ARB and other
25 agencies to carry out the Governor's order for sustainable

1 freight. And the last one being the Port Initiative, which
2 was mentioned a little bit earlier as an important area
3 that money needs to go, especially for disadvantaged
4 communities that are in or around the ports.

5 So I mean right there I just -- thumbing through
6 the plan here, those four things are -- I think support
7 this allocation level. And again, I'm just throwing that
8 out there.

9 And I also want to make the point that staff
10 spent -- I can assure you spent lots of time discussing and
11 trying to come up with this level. And then having to
12 defend it to Commissioner Scott, because she's tougher than
13 you guys are all together, okay? So for what that's worth.

14 (Laughter.)

15 So certainly we'll take your comments, but I just
16 wanted to make the point that this wasn't just some pie in
17 the sky dollar amount that we put in there. It was thought
18 out. It was considered long and hard and we feel that this
19 money is justified for the four areas that I just
20 mentioned.

21 MR. KAFFKA: I guess I just wanted to make a more
22 -- Steve Kaffka -- a philosophical point, especially given
23 what Bonnie had said.

24 I know that the AB 32 Program is focused on 2050
25 and an 80 percent reduction by that point and time. But we

1 also, I think, have to be cautious about thinking we're
2 going to know that pathway. Because it's a long time from
3 now and we can be guaranteed that there are going to be
4 huge surprises that are going to occur, both in terms of
5 technology and other events that are going influence our
6 thinking.

7 And I think it's also important to keep in mind
8 that technology is incremental. We'll know better in 2025
9 what 2050 looks like. And we'll know better in 2030 what
10 the technology for 2050 looks like. So I'm not saying that
11 you've made a wrong allocation in terms of the amounts in
12 these categories, but I just philosophically think that it
13 helps to know that we're probably going to change our
14 thinking as we go forward in making a 2050 investment. A
15 huge amount of money for what we foresee as a 2050
16 investment is kind of a big risk.

17 MR. ROESSER: One last comment I'll make, and I'm
18 going to look to Jim, because I often speak about what I
19 don't know and Jim usually corrects me. Or two more
20 points, let me say.

21 Number one, in the issue about ARB throwing --
22 that Chris brought up. ARB has a lot of money going to
23 this sector, that's true. ARB is focused on larger
24 deployments, a much, much grander scale than our money
25 simply can compete with. And so we're trying to fill a gap

1 there for the more one-off type demonstrations that lead to
2 the larger-scale deployments that end up with the
3 environmental benefits that we're looking for.

4 And secondly, and this is where I'm looking to
5 Jim to grab the microphone when I misspeak here. But this
6 is the medium, heavy-duty sector, so this is not tied to
7 any specific fuel type. So this is a heavy-duty sector.
8 It can focus on hydrogen. It can focus battery, electric.
9 It could focus on natural gas even to an extent.

10 So having money in this category is, I think,
11 more wide open to be able to respond to the market needs as
12 we roll out solicitation, which is where the details are in
13 that. So that if in the heavy-duty sector, there is a way
14 to potentially even leverage the low NOx engine that was
15 talked about earlier, that potentially could be funded
16 under this category here.

17 So again, this is a medium, heavy-duty category,
18 not some specific fuel type, so I think that could warrant
19 more money also because of the different areas we could
20 target in these types of demonstration projects.

21 COMMISSIONER SCOTT: (Indiscernible)

22 MR. ROESSER: True. And as Commissioner Scott
23 just mentioned, the ITS or intelligent transportation
24 systems that we're just scratching the surface on now and
25 we're soliciting information from stakeholders, we

1 potentially could push money into that area also. So
2 again, this is just a wide-open category. And again, we're
3 certainly going to listen to your comments and we'll look
4 at it and discuss it with Commissioner Scott.

5 But again, the primary point I wanted to make is
6 that there was a lot of thought that went into this
7 category.

8 MR. CARMICHAEL: I don't need the last word, but
9 I have another comment.

10 I appreciate the -- there's a standup routine,
11 "dueling mics" isn't there? I appreciate all of your
12 points even though I only wrote down three of them, I'll
13 get the fourth one from you later.

14 But I want to encourage the staff here and the
15 Commissioner to consider something that we've been asking
16 the ARB to consider over the last month and a half. The
17 introduction of a near-zero natural gas engine -- .01 gram
18 is what it was certified at, running on renewable natural
19 gas -- as a five, ten-year, fifteen-year or longer
20 strategy.

21 Play that scenario out and compare it to the path
22 that we've been on with heavy investment and belief that we
23 had to go zero emission tailpipe with fuel cells and
24 battery electrics. And look at how far we can get with
25 this new engine technology as far as emission reductions.

1 How much money it's going to cost and when can we get to
2 those various milestones?

3 We've asked ARB to take another look at their
4 transit bus proposal, which is a 100 percent zero emission
5 tailpipe proposal as drafted. And we've said, "Look, you
6 know with this new engine that happens to be the transit
7 bus engine size, you have to take another look at this.
8 You don't have to agree with us. You don't have to agree
9 with us. You don't have to reach the same conclusion. But
10 you have to take another look, because we believe -- and
11 this is back of the envelope, a more in-depth analysis is
12 still being done -- but back of the envelope we believe
13 that you can turn over the transit fleet in California,
14 achieve the same emission reductions, and get there ten
15 years faster for billions less -- billions less."

16 And I make the same point, I'm worried that
17 Bonnie misheard me and I'll follow up with her separately.
18 But I absolutely support this category. I supported its
19 creation and I continue to support it. What I'm
20 questioning is the level of funding that's being proposed.
21 And just of the moment, if it was \$15 million I don't think
22 we'd be having this debate or I wouldn't be harping on
23 this.

24 That's my lens today and obviously this is the
25 beginning of this conversation. And it's going to continue

1 for six months at least, but my additional point is given
2 this new engine, the costs of various technologies, when we
3 can get to certain milestones, I think we need to consider
4 it. I am not at all suggesting that California should stop
5 investing in zero emission tailpipe technologies: fuel cell
6 and battery electric, plug-in hybrids. I'm very supportive
7 of continuing investments in those.

8 I'm just saying that it has felt like a largely
9 all-in on those fuels and technologies, and obviously it's
10 not all-in but it's felt like that's where the focus and
11 energy has been. And I'm suggesting we need to take
12 another look at that.

13 MR. MCKINNEY: Great. Thank you, Tim. I think
14 it's a very, very good public discussion.

15 Andrew, do we have any Committee Members on the
16 phone? One, proceed please.

17 MR. MUI: Hi. This is Simon Mui and thanks for
18 staying on. And I will have to run after this
19 unfortunately, but I do want to just support the continued
20 funding around this category. Keeping in mind that, you
21 know, I think over the years it's been pretty widespread
22 support of the needs around this category.

23 And I would like to emphasize that the discussion
24 in the past has always been around not that this program,
25 \$100 million a year, could do everything. And that in

1 terms of deployment, which I think a lot of us are talking
2 about here, that there are absolutely these enormous needs,
3 you know? You know, 100 million when we're spending 60
4 billion a year on transportation fuel alone is a drop in
5 the bucket. But to the extent that this category has
6 always been focused on demonstration, on areas where the
7 other funding pots haven't been able to do as much of, I
8 think that is kind of where the historic use of this bucket
9 has been.

10 You know, I would characterize kind of the
11 discussions right now as making Commissioner Scott pick her
12 favorite child, you know, while we're all arguing with each
13 other about which deserves the most. But I will say it's a
14 little bit of a zero sum game in terms of how we allocate
15 this. And I would hope that the alternative fuels and the
16 vehicle industry could come together in a way that maybe
17 doesn't make it a zero sum game anymore. And actually
18 increase the pie.

19 But to the extent that this is a very important
20 bucket from NRDC's perspective I wanted to voice that. I
21 will also send the Energy Commission a recently released
22 report that NRDC did with the Electric Power Research
23 Institute. It's a good several hundred pages, very
24 detailed analysis, on transportation electrification in
25 terms of including on the freight off-road side, in terms

1 of also criteria pollution reduction and GHG emission
2 reduction.

3 So I think that it isn't to say that these are
4 silver bullets, but I do think it's sort of a silver
5 buckshot approach here. And you've got the tough job of
6 deciding how best to optimize that. But again, we support
7 this as one of those key areas to optimize. Thank you.

8 MR. MCKINNEY: Great. Thank you very much,
9 Simon, for your thoughtful comments.

10 I have two blue -- oh, Brian did you want to?

11 MR. GOLDSTEIN: Sorry, yeah. It's Brian
12 Goldstein from EIN. I'm going to have to leave now as
13 well. I had a couple of brief comments on the next
14 section. I thought we were just finishing up medium and
15 heavy-duty. Is that okay to go ahead and make those
16 comments? Sorry, to get off --

17 MR. MCKINNEY: And just before -- I just want to
18 be sure, because I know Erin's been waiting. And we also
19 have Vincent, is he here in the room? Okay, great.

20 Okay, so I've got your cards, both of you.

21 MR. GOLDSTEIN: Okay. I'll keep them brief and
22 thanks again for the opportunity to speak.

23 Okay. So in the next category I've got comments
24 on the emerging opportunities in regional readiness. The
25 emerging opportunities, I think, is a great area where we

1 can allocate a very small amount of money toward
2 researching centralized hydrogen production, certainly
3 centralized renewable hydrogen production.

4 I think the impact there, again just by funding
5 research in that area, has the potential to be huge. I
6 think there's a potential it'll lower station costs,
7 certainly as it would apply to stations that onsite
8 production. The ability to look towards centralized
9 production, I think, really could have a huge impact there.
10 It would certainly lower the impact of hydrogen fuel
11 production at this point. I believe the AB 8 Report from
12 ARB pegged our current hydrogen production at about 45
13 percent renewable. So the ability to go to 100 percent
14 renewable, there's obviously an opportunity to pretty much
15 double the improvements to the environmental impact of
16 hydrogen production.

17 And third, I think it would give us an
18 opportunity to look for funding elsewhere. I mean, as
19 Commissioner Scott mentioned there is a lot of overlap as
20 far as the other energy sectors that have the potential to
21 utilize that renewable hydrogen. And if we can help find
22 funding or other agency funding to contribute towards this
23 goal it would help alleviate some of the competition
24 between sectors here. So that's all I have to say about
25 the emerging opportunities.

1 On the regional readiness, I wanted to make one
2 point again about hydrogen funding here. So it's the last,
3 last one here. In the '14-'15 Plan, I think, for regional
4 readiness there was about \$900,000 appropriated for
5 readiness planning for fuel cell electric vehicles. And I
6 believe about a little over 500,000 of that was actually
7 allocated out to FCEV Readiness Program. So I think that
8 program wasn't undersubscribed and I'm sure there were
9 various reasons why the full amount wasn't awarded.

10 But we're talking about really a very small
11 fraction of the overall budget and certainly a small
12 fraction of the budget just for this category alone that
13 could go a long way in toward getting these stations open
14 much earlier. So there would be faster deployment of
15 stations, and I think community readiness planning would
16 certainly have a big impact there. I think that would
17 enable faster adoption of the vehicles. It would also have
18 the opportunity to advance training and development and
19 improve the emergency responder prep that we've heard about
20 from, I believe, some of the call-ins today.

21 So I just wanted to make that point. Again,
22 thank you very much for the opportunity to speak on the
23 topic. And thanks for organizing the meeting today.

24 COMMISSIONER SCOTT: Thank you so very much for
25 being here, for your excellent thoughts.

1 MR. MCKINNEY: Yeah, and I think you're based in
2 L.A., so thanks for coming up and spending the day with us
3 Brian.

4 MR. EVANS: Thank you.

5 MR. MCKINNEY: Okay. With that I want to
6 recognize the patience of Erin Evans and then Vincent
7 Wiraatmadja?

8 MR. WIRAATMADJA: Wiraatmadja.

9 MR. MCKINNEY: Ms. Evans?

10 MS. EVANS: Thank you. As you can see I was very
11 eager to talk to you today.

12 I'm Erin Evans representing the Small School
13 Districts Association. We're very supportive of the \$23
14 million and the Medium and Heavy-Duty Vehicle Demonstration
15 Project.

16 Just to give you a little point of view from the
17 school district's perspective, the school district
18 perspective really school buses are the largest form of
19 mass transit in the country. And on a daily basis about
20 480,000 school buses transport nearly half of our children
21 in the country, nationwide. And as you know, children are
22 a particularly sensitive group to air contaminants by
23 diesel emissions. And we really appreciate the opportunity
24 provided by this level of funding as well as the Air
25 Resources Board funding to be able to get some zero

1 emission and low-emission school buses in our school
2 districts.

3 These matching funds, as well as those from the
4 Air Resources Board, really to make or break a school
5 district's ability to purchase low and zero emission buses.
6 So we really appreciate that opportunity and we're very
7 supportive of that. Thank you.

8 MR. MCKINNEY: Great. Thank you.

9 Vincent?

10 MR. WIRAATMADJA: Hi. I'm Vincent Wiraatmadja on
11 behalf of BYD Motors Inc. We're an electric truck and bus
12 manufacturer based out of Los Angeles, California. And we
13 just want to say that we strongly support the \$23 million
14 that the CEC has put forward, especially on the
15 infrastructure front it's very important that you set up
16 some incentives in order to build up the infrastructure
17 support, zero emission, better electric vehicles.

18 And we'd also just like to say that electric
19 trucks are very much on the horizon. We're actively
20 developing rubber tire gantry trains, drayage trucks, and
21 urban delivery trucks that are completely zero emission.
22 And we feel that these would be very helpful to hitting the
23 Governor's Executive Order on freight.

24 So thank you for your support. We appreciate it.

25 COMMISSIONER SCOTT: Thank you.

1 Let me ask both Erin and Vincent, if you have a
2 business card if you'll give it to our reporter there, to
3 make sure he gets your name and title right that would be
4 terrific. Thank you.

5 MR. MCKINNEY: Okay. I did not get any blue
6 cards. Andrew, do we have anybody on the phone speaking
7 too?

8 Okay, we'll take those. It's getting late here,
9 so let's respect the three minute limit. Is there a
10 preference in the order, Andrew?

11 ANDREW: John Reed.

12 MR. MCKINNEY: Sorry?

13 ANDREW: John Reed.

14 COMMISSIONER SCOTT: I'd like to -- we've had an
15 opportunity to hear quite a bit from John Reed today.
16 Thank you so much for your important comments. Might I
17 ask, because we are running a little tight on time, that we
18 hold you until the public comment period at the end? And
19 maybe you can make points on each of the last couple of
20 components at the same time. We would really appreciate
21 that if you're willing to do that?

22 MR. REED: Yes.

23 COMMISSIONER SCOTT: Okay. Thank you.

24 MR. MCKINNEY: Okay. And then the other --

25 COMMISSIONER SCOTT: Who's the second one?

1 ANDREW: Urvi Nagrani.

2 COMMISSIONER SCOTT: Great. Go ahead, Urvi.

3 MS. NAGRANI: Hi. This is Urvi Nagrani from
4 Motiv Power Systems and I wanted to say that I appreciate
5 the nuanced discussion happening around this and also the
6 allocation of 23 million specifically for medium and heavy-
7 duty vehicle technology demonstrations.

8 I think it is very important, especially given
9 the oversubscription on this pool of funds within the
10 previous years, that that funding be increased. And I also
11 think it's important to note that the early stage
12 demonstrations can lead to projects that are eligible later
13 in the pipeline, even within the CEC before they get to the
14 point that is eligible for CARB funding.

15 A key example is our first generation of
16 electronic power train control systems was funded under a
17 grant from this pool of money. And that first generation
18 to make a shuttle bus, was used in a very different way
19 with very different vehicle partners, to power the first
20 all-electric school buses that were made and certified to
21 carry kids, as well as the first all-electric refuse truck
22 in all of North America.

23 So that technology transfer capability within the
24 medium and heavy-duty truck applications is key to the
25 funds being well spent. But it's also important to note

1 that a school bus manufacturer is never going to make the
2 actual refuse truck body. And so you're going to have to
3 have different projects with different vehicle partners,
4 different market segments and there will be some technology
5 developments necessary.

6 And so not only is this funding necessary, but as
7 the applications are expanded to include additional freight
8 opportunities to help meet the Executive Order that the
9 Governor has laid out we're going to need even more than
10 what's currently in this bucket. And I realize that that's
11 not a popular opinion with some of the folks coming from a
12 biofuels standpoint. But the technology needs in the
13 diversity of applications are going to require a lot more
14 long-term investments. And because this is the seed
15 funding for where that goes in the future we need to be
16 thinking today about where we want to be in the coming
17 decades. Thank you very much.

18 MR. MCKINNEY: Great. Thank you, Urvi.

19 And I think now Mr. Freeman's up?

20 MR. FREEMAN: Okay. We do not have the hours
21 necessary to do this topic justice, so I really just want
22 to tee up the Sustainable Freight Pilot Project's idea.
23 And then the last side we have has some contact information
24 on it so if you have some follow-up questions please,
25 please, please feel free to contact us.

1 The major takeaway for these slides are going to
2 be a November deadline, so please pay close attention to
3 this.

4 So as part of the Sustainable Freight effort that
5 you've heard about throughout the day, the Executive
6 Director directed the Interagency Work Group to identify
7 pilot project activities that can make significant steps
8 towards transforming the freight sector whether this be
9 using biofuels, advanced technologies, logistical
10 improvements to the way the freight moves throughout the
11 State. And then efforts that will help maintain the strong
12 economic force that is the freight sector in California.

13 We're looking for large transformative projects,
14 again emphasis on large, so we have gone out to interested
15 stakeholders to identify these. I think it will resonate
16 with a lot of the folks around the table who all have
17 additional needs for funding that again our 100 million can
18 never help out with, a need for additional policies and
19 regulatory actions that kind of help move the freight
20 sector to the next step.

21 So we definitely want to have everybody that's
22 interested in anything freight sector related. Any major
23 advancements that you think your organizations, your
24 stakeholder groups are interested in pushing and getting
25 those ideas to us, so that could be everything from

1 transportation-related activities, renewable energy,
2 building related. You know, we don't want to constrain
3 people's ideas as far as what can be done to make major
4 advancements to bring cleaner technologies to the freight
5 sector.

6 So if you would like more information on this,
7 again I would highlight that these pilot project concepts
8 that we're requesting are due to us by November 30th, so
9 that we have time to digest them, take them to public
10 workshops, get public stakeholder feedback on what they
11 think about the pilot projects. You can go to this link
12 and we'll be posting this on our website later. And we'll
13 probably send it out to our Transportation Listserver.

14 So we will be reviewing these during the month of
15 December as a work group. Hopefully, we'll get those out
16 to the public some time in January. So again, if you have
17 any questions if you go to the Air Resources Board's
18 website we've kind of consolidated where you can submit
19 information. Contact emails for each of the folks that are
20 participating in this effort and you're always welcome to
21 contact AB 118 staff if you have any other questions for
22 this. So thank you.

23 MR. MCKINNEY: Okay. Andre, you and I haven't
24 talked about this for awhile. Is this request for concepts
25 and ideas linked to any specific solicitations we're

1 developing?

2 MR. FREEMAN: So, no although any ideas that are
3 brought to the work group through this will definitely be
4 considered by all of our various funding programs as we go
5 and make policies at each of the agencies. You know, this
6 type of information's very helpful to know what new ideas
7 are out there, what old ideas people want to expand and
8 bring to the table.

9 So for things like our upcoming Medium and Heavy-
10 Duty Demonstration Solicitation we'll definitely be looking
11 at concepts proposed and have that integrated into our
12 thinking for our solicitations.

13 MR. MCKINNEY: Okay. Thanks very much, Andre.

14 Okay. Why don't we go back to the funding side
15 and continue?

16 COMMISSIONER SCOTT: Yes. Do you want to do that
17 last three together or --

18 MR. MCKINNEY: Sure.

19 COMMISSIONER SCOTT: -- or let me just ask a
20 question around the table for the Advisory Committee
21 members who are left, thank you for staying.

22 Would you like to do the last three, which is
23 kind of emerging opportunities, workforce development and
24 regional readiness together? And make your comments on all
25 three or would you like us to continue to go one-by-one on

1 those?

2 (Colloquy from members.)

3 COMMISSIONER SCOTT: Okay, great. So we'll do
4 them together. Who would like to comment first?

5 Claire, go ahead.

6 MS. JAHNS: I'll say that collectively all three
7 of them, I think, are really important. And you've clearly
8 recognized by holding money aside in these more flexible
9 categories -- and especially the emerging opportunities --
10 just to hold some funds aside for things we don't know
11 about is important in this rapidly developing space.

12 And I wonder if that can be use and I would
13 imagine it's oversubscribed typically. But even if it
14 can't be used it could surely supplement some other kind of
15 fringe elements of projects in other categories.

16 And just also that there's money for planning and
17 just thinking and strategizing is really important to
18 complement the GGRF Funds, which cannot be used for
19 planning. And so I mean, I think it's true for all of
20 them, but for regional readiness. Like we've talked about
21 the potential to do regional biofuel systems or other --
22 the kind of regional approaches that will require a lot of
23 planning, looking at zoning changes, potentially working
24 with communities to get community involvement as well.

25 And that the GGRF money just can't be used for

1 those things, so it'd be useful to maybe look at
2 particularly how this money can best compliment some of the
3 other categories that are funded here as well as through
4 GGRF.

5 COMMISSIONER SCOTT: Thank you.

6 I see Sekita and then it looks like Tim.

7 MS. GRANT: Thank you. I'd definitely like to
8 second that last point about thinking about complimenting
9 the GGRF money by really looking at how we can use ARFVTP
10 money to focus on some of the planning opportunities
11 through that regional readiness pot of money, which I think
12 is very important.

13 Just to touch on workforce investments and put my
14 hat in, in support these are very critical in terms of
15 preparing a workforce to support these new technologies.
16 And it also provides great economic benefits for local
17 communities.

18 The apprenticeship programs that you are starting
19 to get into, we are very supportive of and happy to have
20 further conversations about what those could look like.
21 And the only question I have is around kind of
22 understanding which communities are benefiting from the
23 workforce programs?

24 And seeing if we can help bring in more
25 underrepresented groups into that workforce: women,

1 disabled vets, minorities, LGBT communities, and seeing if
2 we can help diversity the workforce that's supporting a lot
3 of these great clean fuels and vehicle technologies.

4 And the last thing I'll say is that just
5 encouraging the Energy Commission to think about how you're
6 communicating all the great work that you're doing.

7 There's just a ton of amazing projects and information that
8 the Energy Commission is producing every single year. And
9 this looks different depending on your audience, but
10 certainly the potential fuel technology users really
11 getting information out there about the different
12 technologies that are being funded.

13 And that looks different whether it's a potential
14 purchaser of this new Cummins engine vehicle or someone who
15 might be interested in getting a charging station in their
16 small business. But really getting kind of the word out on
17 this would be fantastic.

18 And the other key audience as well -- and I know
19 you guys are really aware of it. But in terms of how the
20 legislators perceive this program or their awareness of the
21 program, I think there can be a lot to help elevate. And
22 that's on stakeholders as well to support that, but to help
23 elevate the great work that you guys are doing.

24 And then also the private sector, just thinking
25 about this through the conversations we're having on

1 renewable natural gas. And how we can get large fleet
2 owners more engaged in these discussions, whether it's UPS
3 or Wal-Mart, these large companies that are starting to
4 invest in natural gas vehicles, how do we get them more
5 informed about the opportunities and get them to support
6 renewable natural gas as a potential fuel source?

7 Thank you.

8 COMMISSIONER SCOTT: Thanks so much, Sekita.

9 I will add that we would warmly welcome the
10 opportunity to brainstorm with you, and with any of our
11 Advisory Committee members or stakeholders, how to do the
12 broader outreach. So we did put together, last year, a
13 series of kind of ARFVTP but we didn't call it that, we
14 didn't have the whole title there, 101s and went to various
15 areas of the State to try to outreach.

16 We worked with the Legislature and asked them if
17 they would send out that notice to their contacts, because
18 here at the Commission we end up with kind of a self-
19 selected list of energy wonks. And that's a great list of
20 people, but we're always thinking about how do we do
21 broader outreach? How can we reach out to a broader set of
22 people? So I warmly welcome your thoughts on that or any
23 folks from around the table?

24 Do you have a thought on that or should I go to
25 Tim and then to you?

1 MS. JAHNS: I did.

2 COMMISSIONER SCOTT: Okay. Go ahead, Claire and
3 then we'll go Tim.

4 MS. JAHNS: This is Claire at the Resources
5 Agency again. So the Resources Agency did not get one, but
6 other agencies received a technical staffer for some of the
7 GGRF programs and Erik might know about this, for ARB. And
8 the purpose of this was to try to reach out to
9 disadvantaged communities in particular, and help wade
10 through the cumbersome and diverse applications for the
11 different programs that exist within GGRF.

12 So I wonder if there might be an opportunity to
13 piggyback on the technical lead through ARB who's doing
14 this type of work. And that'd be a question for ARB in
15 terms of whether or not they have that capacity, but
16 certainly maybe that means just kind of sharing road show
17 audiences or mailing lists.

18 COMMISSIONER SCOTT: Thank you. Tim?

19 MR. CARMICHAEL: Thank you. I agree with the
20 comments that Claire and Sekita made. And I support the
21 proposed funding allocations for all three of these
22 categories.

23 COMMISSIONER SCOTT: Go ahead, Steve.

24 MR. KAFFKA: I generally agree. I just want to
25 say with respect to things like workforce training and

1 development it's always a question of training and
2 development for what, for what jobs? And really I think
3 that you have considered that there need to be employment
4 opportunities and businesses developed in State as a
5 function of these investments. And that is important to
6 keep in mind in terms of the total Investment Plan.

7 I mean, some ideas are certainly futuristic and
8 long term and we need to have those, but concretely you
9 can't train somebody for a technology that's only going to
10 be around 2030.

11 COMMISSIONER SCOTT: Any others here at the table
12 from the Advisory Committee? Do we have any Advisory on
13 the phone? Do we have Simon still?

14 MR. MCKINNEY: So nobody on the phone, but we do
15 have a blue card from someone in the room. And then I want
16 to represent somebody else who's been trying to call in as
17 well.

18 Is Mr. John Brauer?

19 MR. BRAUER: I'm John Brauer. I'm the Workforce
20 and Economic Development Director at the California Labor
21 Federation. And we represent and our affiliates represent
22 2 million workers in the State of California.

23 A couple of things, I wanted to support the
24 comments of Peter Cooper earlier. We have worked with a
25 number of our transit unions and transit agencies to access

1 the ETP dollars that you have put forward. We'd like them
2 also to be light rail eligible as they were in the first
3 round in addition to the buses, but those apprentice
4 programs and those journeyman workers at those transit
5 agencies have been able to respond through being retrained
6 to the transformation.

7 And it kind of addresses your point around as the
8 technology changes there's actually a workforce training
9 and development system that our unions and our transit
10 apprenticeship programs are part of, as this continually
11 moves on in our clearly clear paths and high-paying jobs.

12 So the idea of if you can make more money
13 available to ETP it's -- as somebody who also sits on the
14 Governor's Workforce Development Board and also just
15 participated for the last nine months in the State Board of
16 Governors, Community College Chancellor's recommendations
17 for retooling career and technical ed in the State -- these
18 are some of the most accountable workforce dollars that are
19 out there compared to even what the Workforce Development
20 Board and other agencies do. You're accountable for having
21 folks actually getting jobs and working, being trained and
22 actually having the training take place and being retained,
23 and having good quality jobs.

24 So I just wanted to articulate that to support
25 ETP in considering getting them more money available. We

1 have other transit agencies that I think our labor unions
2 have told us would be interested in it. So I think the
3 demand is there.

4 We'd also be more than happy to be engaged around
5 a discussion around inclusion and diversity. And having,
6 we think, some capacity also to help articulate how to
7 create those clear pathways whether that's apprenticeship
8 or even pre-apprenticeship in that like. So I just wanted
9 to put forward to you, and thank you.

10 COMMISSIONER SCOTT: Thank you very much for
11 that. And if you'll remember to -- I see you heading
12 towards him with the card. Thank you.

13 Any other?

14 MR. MCKINNEY: Yes, Commissioner. If I may, a
15 gentleman named Bill Lady (phonetic) was trying to call in
16 earlier.

17 He said he'll send written comments, but just so
18 everyone understands Mr. Lady has a project proposal or
19 concept for renewable hydrogen, a central station hydrogen
20 project, that would tap wind energy from some unused
21 turbines down in the Palm Springs area. And run the
22 electricity through an electrolyzer and then sell 100
23 percent renewable hydrogen to the SunLine Transit District
24 and its fuel cell fleet.

25 So that's just the headline really, but that'll

1 be more substantive comments coming in from Mr. Lady.

2 Commissioner, those are all the comments and
3 cards that I have if you --

4 COMMISSIONER SCOTT: Okay. Terrific, well why
5 don't we make a call for any additional public comment if
6 you had a blue card, if this is -- or you want to raise
7 your hand please do so with Andrew.

8 But let me let you know that written comments on
9 the Draft of ARFVTP Investment Plan are due on November
10 16th. So please be sure to write down all of your great
11 thoughts to get to us, so that we have a chance to look at
12 that and review it as we're working to transition between
13 the draft and the next draft.

14 I wanted to say thank you so very much to Jim and
15 to Jacob. Jacob, I think you did a fantastic job with your
16 first try on the Investment Plan. So I appreciate your
17 good hard work there.

18 And also to all of the Fuels and Transportation
19 team, because they work really hard on all of these
20 categories to put out great solicitations to get good
21 projects and really get them going every year. So I just
22 appreciate the really good work of the team.

23 I will echo Jim's remarks to Randy and thank him
24 so much for his leadership for this program. He tried to
25 retire, but we brought him back. And this time I guess we

1 have to let him, but it's been wonderful to work with him.
2 And I'm sad that this is your last ARFVTP meeting.

3 I want to say thank you so much to the Committee
4 Members, especially to Claire and Jack and Sekita and Ralph
5 and Tim for sticking it out to the very bitter end. I
6 don't think we have anyone on the phone that I'm missing,
7 but thank you to all of you.

8 I mean, your insights here and your expertise are
9 so valuable to us. We really are listening. We take what
10 you say to heart. We're going to take it back and have
11 really good discussions, I think, around. And so I just
12 appreciate the time and care that you dedicate to this
13 program.

14 And also to our engaged stakeholders I'd just
15 like to say thanks to those folks as well.

16 I think this is a really great program. I think
17 we've got projects that are demonstrating how you can
18 transform transportation in California. They are across a
19 pretty broad swath, but that's to me what makes it
20 exciting. There's never a dull moment. We're always
21 learning something new, so I'm just really pleased to be
22 able to be a part of this.

23 I will thank again, very heartily, all of the
24 Committee Members for your great work and for your time
25 here today.

1 Did we have any last public comments on the
2 phone, Andrew? Yes, let's do the last one. That's
3 probably Dr. Reed?

4 ANDREW: Yes.

5 COMMISSIONER SCOTT: Yes, Dr. Reed, please go
6 ahead.

7 MR. REED: Yes. Janea, thank you for your
8 patience and I have submitted some written responses and I
9 will add some more.

10 I just wanted to go with one final thought for
11 everyone there. And it was sort of (indiscernible) slide,
12 which showed the one bus equating out to a thousand buses.
13 And the point that's really made there is that the
14 emissions are in the legacy fleet. In other words, that
15 old bus, one 1985 bus, pollutes as much as the entire
16 current San Diego MTS system.

17 So for us to put money into taking the older
18 vehicles and updating them to current technology is where
19 we get the greatest bang for our buck in terms of emissions
20 reductions of greenhouse gas, particulate matter removal,
21 and NOx.

22 So in the funding that you're looking to do for
23 natural gas vehicles, for both incentives and in the near
24 commercial production, I suggest that you make it a
25 priority to fund technologies and incentives for taking the

1 older currently in-use vehicles and updating them to
2 current technology.

3 That is happening, those technologies are in
4 development, and some of them will be CARB certified here
5 hopefully within the next 30 days.

6 I do this and point this out, because I feel that
7 we are so close to actually attaining the goals of getting
8 biomethane used in a large amount in fleets that are
9 actually able and capable to do it, that are in substantial
10 numbers. So we can actually have a real impact and reach
11 the goals we've all been shooting for.

12 So I appreciate your patience in listening to me.
13 And thank you for all your hard work.

14 COMMISSIONER SCOTT: Thank you. Thank you very
15 much for all of your thoughtful comments today.

16 And with that, one last hardy thanks to our
17 awesome Advisory Committee. I hope you guys have a
18 wonderful weekend. We are adjourned.

19 (Whereupon, at 4:27 p.m., the meeting
20 and workshop was adjourned)


21 --oOo--
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of December, 2015.



A handwritten signature in cursive script, appearing to read "Kent Odell", is written over a horizontal line.

Kent Odell
CER**00548

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of December, 2015.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852