

DOCKETED

Docket Number:	15-AAER-06
Project Title:	Small Diameter Directional LED Lamps and General Purpose LED Lamps
TN #:	207025
Document Title:	Transcript of the 11/18/15 Public Hearing on Small Diameter Directional LED Lamps and General Purpose LED Lamps
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/15/2015 1:14:48 PM
Docketed Date:	12/15/2015

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:) Docket No. 15-AAER-06
)
Appliance Efficiency Rulemaking)
Hearing)

PUBLIC HEARING ON SMALL DIAMETER DIRECTIONAL LED LAMPS
AND
GENERAL PURPOSE LED LAMPS

CALIFORNIA ENERGY COMMISSION
1516 NINTH STREET
1ST FLOOR, ART ROSENFELD HEARING ROOM
SACRAMENTO, CALIFORNIA

WEDNESDAY, NOVEMBER 18, 2015
10:00 A.M.

Reported by:
Peter Petty

APPEARANCES

Commissioners (and their Advisors) Present:

Andrew McAllister, Lead Commissioner, IEPR Committee
Pat Saxton, His Advisor

Staff Present:

Harinder Singh
Gabriel Taylor
Kristen Driskell
Ken Rider

Also Present (* present by phone)

Stakeholders/Public Comment

Lorne Whitehead, UBC
Mark Lien, Osram Sylvania, Chair, Light Source
Section for NEMA
Alex Baker, Lumileds
Susan Callahan, Osram Sylvania
Jim Gaines, Philips Lighting
Tom Stimac, GE Lighting
Dave Gatto, Westinghouse Lighting
Dave Woodward, Philips Lighting
Cheryl English, Acuity Brands Lighting
Alex Boesenberg, NEMA
Mary Anderson, PG&E
Gary Fernstrom, PG&E
Aurelien David, SORAA, Inc.
Nancy Anton, member of the public/consumer
Eric Bluvas, Green Creative
Noah Horowitz, NRDC
*David Maciel, representing Sony Electronics
*Greg Merrit, Cree
*Chris Primous, X Light
Mike McGaraghan, IOUs

I N D E X

	Page
Opening Remarks	
Harinder Singh	4
Commissioner McAllister	4
Background and Overview	
Harinder Singh	7
Initial Study and Negative Declaration	
Harinder Singh	12
Small Diameter Directional Lamps and Portable Luminaires	
Harinder Singh	12
General Service LED Lamps	23
Gabriel Taylor	
Stakeholder Comments/Discussion	32
Closing Remarks/Next Steps	
Harinder Singh	136
Adjournment	136
Reporter's Certificate	137
Transcriber's Certificate	138

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

NOVEMBER 18, 2015 10:03 a.m.

MR. SINGH: Good morning and welcome to the Energy Commission. My name is Harinder Singh.

First, I'm going to make some housekeeping announcements, then I will request the Commissioner to make some opening remarks.

So for those who are not familiar with this building, the closest restrooms are on the left side, located on the left side as you come out the door; also, there is a snack bar on the second floor under the white awning.

Lastly, in the event of an emergency and the building is evacuated, please follow our employees to the appropriate exits. We will reconvene at Roosevelt Park located diagonally across the street from this building. Please proceed calmly and quickly, again, following the employees with whom you are meeting to safety exit the building. Thank you very much and now I will request the Commissioner.

COMMISSIONER MCALLISTER: All right. Thanks, Harinder. I'm really happy to be at this point on these two sets on both the General

1 Service LEDs and the SDDLs. I really appreciate
2 everybody coming. You know, the rubber is
3 hitting the road, we've got 45-day language, this
4 is concrete stuff that we can talk about and work
5 through, and I think that's really the main point
6 of today and when the comments are due later this
7 month. I think, Kristin, you told me, but I
8 promptly forgot, November 30th? The 30th, okay.

9 So the comments are due on the 30th.
10 This is 45-day language, so I'm presuming that
11 all of you know what the process looks like and
12 there may or may not be 15-day language,
13 depending on how it goes and what the comments
14 coming in look like.

15 You know, there is so much innovation
16 going on in lighting. There are high energy
17 savings available and you all know that we have
18 multiple goals in this state for carbon reduction
19 overall, but within that and within the energy
20 sector and within the existing buildings and new
21 construction, all those parts of this puzzle, all
22 those pieces of this puzzle present large
23 opportunities for savings in lighting. And these
24 are two very important categories that do not
25 currently have a Federal Standard and that we

1 believe there are significant savings available,
2 very cost-effectively. So that's all reflective
3 in the language that you've all seen and will be
4 the subject of discussion today.

5 So this is part of really an all hands on
6 deck approach we have in California; our Governor
7 and our Legislature have given us very firm
8 direction that we need to go down this path, and
9 so there really is no question about that and I
10 think we just want to make sure we get it right
11 in terms of the technology in the market and
12 really appreciate everybody's chiming in with
13 their expertise and certainly industry and
14 stakeholders, advocates, everybody, we really
15 want you to put on your thinking caps and help us
16 make this the best product it can be.

17 So with that, to my left is Pat Saxton,
18 my Advisor on this and many other topics, and my
19 office tries to keep our door open as wide as
20 possible, too, so certainly we're paying
21 attention and certainly welcome anybody's
22 thoughts directly or through the process here
23 through the Docket.

24 So with that, I will pass the baton back
25 to staff. I want to acknowledge Kristin and Mike

1 and the rest of the team on this, and move
2 forward to the presentations.

3 MR. SINGH: Thank you, Commissioner.
4 Again, the first part of this presentation is
5 Small Diameter Directional Lamps and also I will
6 present Portable Luminaires and the last part
7 will be General Service LED Lamps, and Gabe
8 Taylor is going to present that.

9 So with that, this is our opening agenda,
10 there are the staff presentations and then, after
11 the presentations are over, we'll take
12 stakeholder comments. To make the comments,
13 please fill out the blue cards that are on the
14 front desk here and we have a gentleman from the
15 Public Advisor's Office, please submit your blue
16 cards to the Public Advisor's representative.

17 Once we complete the comments in the
18 room, then we will take the comments from the
19 people who are online, on the telephone, or on
20 WebEx, so that will be afterwards, and we will
21 open the lines and keep them muted during this
22 presentation and during the comments, but once
23 comments are finished in the room, then we'll
24 open the line for online comments. And then we
25 will have the closing remarks once we finish the

1 presentations and this hearing.

2 So first of all, I'd like to mention the
3 purpose of this public hearing. Staff will
4 present its analysis of the Proposed Standards
5 and Negative Declaration for Small Diameter
6 Directional Lamps, General Purpose Lamps, LED
7 Lamps, and Portable Luminaires.

8 And staff will respond to clarifying
9 questions and also will take the comments, and
10 the purpose also is to allow the staff and the
11 Commissioner to receive oral and written comments
12 on the Proposed Negative Declarations and the
13 Proposed Regulations. So this is the purpose of
14 the public hearing today.

15 And so my next slide is about the Energy
16 Commission, it is the State's primary Energy
17 Policy and Planning Agency created by the
18 Legislature in 1974. Their responsibilities
19 include promoting energy efficiency and
20 conservation by setting minimum Appliance and
21 Building Efficiency Standards, and other cost-
22 effective measures.

23 The Commission's Appliance and Building
24 Energy Efficiency Standards have saved
25 Californians more than \$74 billion in reduced

1 electric bills since 1975. So we are doing this
2 rulemaking under the statutory mandate through
3 the Warren-Alquist State Energy Resources
4 Conservation and Development Act, Public
5 Resources Code Section 25402(c). This requires
6 the Commission to adopt minimum levels of
7 operating efficiency and other cost-effective
8 measures to promote the use of energy and water
9 efficiency appliances, whose use requires a
10 significant amount of energy or water on a
11 statewide basis. So this is the authority we are
12 using, the statute and authority we are using to
13 propose these Regulations and move forward on
14 those.

15 Also, we have another statutory
16 requirement, AB 1109, that requires the
17 Commission to adopt minimum Energy Efficiency
18 Standards to reduce average statewide electricity
19 energy consumption from the levels of 2007,
20 reduce the electric consumption in the
21 residential indoor lighting by 50 percent by
22 2018, and for the commercial lighting, by 25
23 percent, and reduce the energy consumption for
24 the outdoor lighting by 25 percent by 2018. So
25 this is another statutory requirement that

1 requires us to reduce the energy consumption.

2 Small Diameter Directional Lamps are both
3 commercial and residential, and the Omni-
4 directional general service LED lamps are also
5 residential, and some of them are also used in
6 the commercial sector. So the Proposed
7 Regulations will reduce the energy both in the
8 residential and commercial sectors.

9 So the documents related to this
10 rulemaking are available on the website,
11 [Http://Energy.CA.Gov//Appliances](http://Energy.CA.Gov//Appliances) 15-AAER-
12 06//Rulemaking. So we have the documents
13 available also that are copies of the rulemaking
14 documents, they can also be obtained by
15 contacting Angelica Romo-Ramos at the address
16 given in this slide, as well as her email address
17 as given here. So anybody who wants to get
18 copies of the documents, please contact her or
19 please visit our website.

20 The comment period for this, as the
21 Commissioner has mentioned earlier, is November
22 30, 2015, and the Rulemaking 45-day language was
23 submitted and published on October 16, 2015.
24 Comment period for Negative Declaration ended on
25 November 14, 2015, and Oral and Written Comments

1 will be accepted for this adoption hearing on
2 December 9th, as well, so we would like to
3 receive your comments by November 30th. And if
4 people want to make more comments, they can
5 submit their comments during the adoption hearing
6 on December 9th.

7 So the next steps are staff will evaluate
8 the comments received and make recommendations to
9 the Commission for the next steps. Staff may
10 propose 15-day language to make any necessary
11 changes to the proposed Regulations if necessary.
12 An adoption hearing is scheduled for December 9,
13 2015.

14 Staff will respond to all written and
15 oral comments in the Final Statement of Reasons.
16 We will respond to the comments if there are some
17 clarifications and questions related to the
18 language, then we will clarify that.

19 For public assistance, if you need public
20 assistance in commenting, please contact the
21 Public Advisor's Office, as well as we have a
22 Public Advisor's representative here. The
23 telephone number is given on this screen, and
24 their email address is also available here on
25 this slide.

1 The Proposed Negative Declaration. Staff
2 has prepared a Negative Declaration and this is
3 the environmental impacts of adopting the
4 proposed Standards for Small Diameter Directional
5 Lamps, Portable Luminaires, and General Service
6 LED Lamps. The study shows no adverse
7 environmental impacts and the written comment
8 period was from October 16th until November 14th,
9 and it has ended on November 14th, so the next
10 step is the Adoption Hearing where the Negative
11 Declaration will be adopted on December 9, 2015.

12 Small Diameter Directional Lamps. These
13 are some of the forms of the lamps, some of the
14 pictures. This is what we intend to regulate.
15 So the scope of the Small Directional Diameter
16 Lamps is we have modified the existing scope to
17 include state regulated Small Diameter
18 Directional Lamps, but the rest of the definition
19 in Section K of the scope remains the same, with
20 the exception of State Regulated Light Emitting
21 Diodes, LED Lamps, and State Regulated Small
22 Diameter Directional Lamps, so this is the
23 underlying language which is added to the
24 existing scope.

25 We also added a few definitions to

1 include defining the Small Diameter Directional
2 Lamps, as well as General Purpose LED Lamps. So
3 we added a definition of Beam Angle, Center Beam
4 Candle Power Lumen Output, Electric Power
5 Consumed.

6 And then also these are the state
7 regulated Small Diameter Lamps that are included
8 in the Proposed Regulation. They are equal to or
9 less than of 2.5 inches in diameter, and should
10 have a base of GU10 and GU11, GU5.3, GUX5.3, GU8,
11 GU4, or E26 Base.

12 Small Diameter Directional Lamps include
13 incandescent filament LED and other lighting
14 technologies that fall within this definition.
15 And also state regulated Small Diameter
16 Directional Lamps does not include products that
17 use LEDs and have an E26 Base, which are state
18 regulated LED Lamps. So those state LED
19 regulated lamps are not going to be part of the
20 Directional Lamp definition.

21 So we also have proposed the test
22 procedures. First is the incandescent filament-
23 type testing procedure, so we are going to
24 recommend using the 10 CFR existing test
25 procedure for incandescent lamps that are

1 federally regulated. So in case there are
2 incandescent lamps or halogen lamps that meet the
3 proposed standard, so we have it as a procedure
4 that will apply to those lamps.

5 And we also included the Test Procedure
6 for the LED lamps, and that is IES-LM 79 2008,
7 and IES-LM 79 and also for the Lumen Maintenance
8 and time to failure, we have included Test
9 Procedure IES-LM 84 and TM-28 with additional
10 guidance provided in Federal Regulations 3965-396
11 through 667, and July 9, 2015, so Section 430.23
12 of the Appendix Subpart B of Part 430 of the
13 Federal Register.

14 So the Proposed Regulations are for the
15 Small Diameter Directional Lamps are effective
16 January 1, 2018. The minimum rated life is
17 25,000 hours based on Lumen maintenance, and time
18 to failure test procedure. And the lamps are
19 required to meet one of the following
20 requirements: lumen efficacy of greater than or
21 equal to 8 lumens per watt, or lumen efficacy of
22 greater than 70, equal to or greater than 70
23 lumens per watt, and a CRI plus efficacy greater
24 or equal to 165. So these are the two
25 requirements lamps have to meet.

1 We also are going to require some
2 certification for these lamps, and they include
3 the base types, lamp type, power, lumens, lumen
4 output, beam angle, CVCP, then lumens per watt,
5 combined CRI plus efficacy, color rendering
6 index, minimum lamp efficacy, and CCT, Correlated
7 Color Temperature, and Rated Life. So those are
8 going to be a few requirements that the
9 Manufacturers are going to have to submit to
10 certify to the Energy Commission's database.

11 Necessity for the Standards. Currently
12 there are no federal or state Standards for the
13 Small Diameter Directional Lamps. There are
14 about 15 million Small Diameter Directional Lamps
15 installed in the Residential and Commercial
16 Buildings, and they approximately consume 2,500
17 gigawatt hours a year. This number is the
18 average between 2018 and 2029, so we averaged it.
19 So this is approximately how much these lamps
20 consume or will consume.

21 More than 90 percent of the Small
22 Diameter Directional Lamp stock is inefficient
23 incandescent halogens, HIR type of lamps, and
24 there are about 10 percent stock is LED lamps,
25 and out of this total stock, 65 percent is the

1 commercial stock and about 35 percent lamps are
2 installed in the residential sector.

3 In the commercial sector, the duty cycle
4 is quite a bit, it's 3,720 hours a year, whereas
5 in the residential the lamps use power on for
6 about 840 hours a year. So there's quite a bit
7 of difference in the commercial usage and the
8 residential sector use.

9 So the baseline energy consumption, we
10 have tried to calculate that and it's 2018, 2,528
11 is the consumption, and with the growth in lamp
12 stock, the energy consumption will go to 2,914 in
13 gigawatt hours a year in 2029.

14 The proposed Standards will save about 84
15 percent power, so the consumption will reduce
16 from 2,500 gigawatt hours to 371 in 2018, and
17 this will continue and in 2029, assuming the
18 consumption to be 2,914 gigawatt hours a year,
19 the proposed standard will reduce the consumption
20 from 2,900 gigawatt hours to 428 gigawatt hours.
21 So there's a significant energy reduction in this
22 proposal and if the lamps are replaced, there's a
23 significant energy savings available with the
24 Small Diameter Directional Lamp Standards.

25 The Proposed Standard is cost-effective.

1 The annual energy consumption per lamp without
2 the Standards is 158 Kilowatt hours a year; and
3 with the Proposed Standard, the consumption is
4 going to be reduced to 25 kilowatt hours a year,
5 so there are savings of 133 kilowatt hours a year
6 with the Proposed Standard. So there's a
7 significant reduction, it goes from 158
8 consumption to 25 kW, so there's a big energy
9 savings opportunity here.

10 So annual operating cost of the lamp
11 currently averages \$25 a year, and with the
12 Proposed Standard, the cost to operate this lamp
13 will go down to \$3.81. And again, there are
14 \$22.00 savings a year just for operating these
15 lamps. So this is a big dollar savings for the
16 consumers and big energy savings overall per
17 lamp.

18 Cost effects that we have seen from the
19 learning curve and other studies done on
20 pricing, we have found that the price of the
21 lamps is going down so rapidly in all wattage
22 beams, there is a continuous drop in price and so
23 we see the market trend seeing the product
24 efficacy is going up and the price is coming
25 down.

1 And there's another chart we have drawn,
2 and this is again unit price trend projected
3 through 2018; it also shows the price drop from
4 \$18.00 to \$10.00 or \$14.00, and it continues to
5 go to \$10.00 or less by 2019. So there is a
6 continuous price drop in the LED Small Diameter
7 Directional Lamps.

8 Incremental Cost Decrease. We have done
9 some studies on it and we find that the relative
10 cost per unit, per year, is dropping drastically,
11 and if you look from 2009 to 2015 projections,
12 it's a lot less cost. We have evaluated optics,
13 assembly, mechanical or thermal shields, and LED
14 packages, and the cost in every sector is going
15 down. So we find that the prices are dropping,
16 incremental cost is dropping, and the efficacy of
17 these lamps are going up.

18 Based on the market data, staff found
19 that the price of SDDL is dropping and the
20 efficiency is going up, and the quality of the
21 lamps are improving. So it's very difficult and
22 unclear to determine the incremental cost
23 because, as the prices are dropping, efficiencies
24 are naturally going up, there's no way we could
25 figure it out what would be the incremental cost

1 for the proposed standard because we find 25 or
2 30 percent of these lamps on the market are
3 already meeting the proposed Standards and the
4 price is dropping quickly. So staff assumed the
5 incremental cost for these lamps to be minimal,
6 or zero.

7 And the other factor in here, in metal
8 halide lamps, or the Small Diameter Directional
9 Lamps, is the life cycle. We find that the life
10 cycle of Halogen or Incandescent, or HIR lamps,
11 the average is 4,000 hours a year. And in the
12 commercial sector, the duty cycle is 3,700 hours.
13 But when you replace this lamp with the LED lamp,
14 which has 25,000 hours of lifecycle or greater,
15 so we find that there will be five lamps that,
16 you know, if you have the halogens, you need five
17 more lamps than if you replace it with the LED.
18 So for example, if the halogen lamps cost you an
19 average of \$6.00, whereas the LED lamps cost you
20 around \$10.00, so over a period of 25,000 hours,
21 they come out to be six or seven times, so there
22 are five additional lamps that are purchased by
23 the consumer if there are no Standards and that
24 would cost to the consumer \$30.00 in replacement
25 cost. But if you buy LED lamps, it's \$10.00, so

1 the consumer is going to save approximately
2 \$26.00 over the lifetime in replacement costs, so
3 there is a significant cost savings in the
4 replacement part of it.

5 We have also looked at the Lighting Facts
6 Data and the ENERGY STAR's data, this is how the
7 proposed standard looks when we draw the CRI and
8 the efficacy for the Small Directional Diameter
9 Lamps, and we find that the high efficacy of the
10 lamps for the high CRI, there are fewer lamps
11 available, but the market is moving. We have
12 seen a significant improvement in the CRI in the
13 efficacy, so by the time the standard takes
14 effect, we'll see that high CRI lamps will be
15 available. There are plenty of lamps already
16 available that are 80 lumens per watt, but 95 or
17 greater CRI lamps also will be available by the
18 time the Standard takes effect.

19 We also find that there's a significant
20 improvement in CRI and this is what we have come
21 up with, and it definitely shows that the CRI is
22 going up to 97, so in some of the lamps, and so
23 there is quite a bit of improvement over time in
24 the CRI. And this data is 2014 data, so it shows
25 significant improvement and it continues.

1 Also, there is the beam angle, which is
2 very critical for the directional lamps, and we
3 have found there are a number of lamps that are
4 in the range of 15 degrees, and they go up to 40-
5 45-degree angle, so, you know, narrow beam angle
6 lamps are also available in 80 lumens per watt or
7 greater, so this is also again Lighting Facts
8 Data and ENERGY STAR data that is in this slide.

9 We also found that the total overall
10 lumens output is improving and there are lamps
11 that are greater than 600 lumens per watt, and
12 the 80 lumens per watt standard, they have 600
13 lumens overall, so there is a significant
14 improvement in the light output also in the
15 Directional Lamp, especially on the 50 watt lamps
16 which used to have around 700 lumens output. So
17 these LED lamps are catching up, so there is that
18 improvement also. So we find more light output
19 out of these lamps.

20 Again, I would like to mention the design
21 life of these lamps is 11 years, and the annual
22 energy savings are about 133 kW hours a year.
23 The incremental cost for these lamps is presumed
24 to be zero. And also, the average lamp, halogen
25 or incandescent lamp, costs \$6.00, but when you

1 buy LED lamps, it's going to cost \$10.00, so
2 there's the \$4.00 cost difference. But again,
3 that lamp is going to last you a long time. So
4 we come up with incremental replacement cost
5 would be about \$4.00. And the stock is again \$15
6 million, and the first year energy savings are
7 \$22.00. Energy savings generated are sufficient
8 to pay the cost of the lamp within the payback
9 period, which is less than a year. And the total
10 savings over the design life is \$221.00 for these
11 lamps. And the first year energy savings
12 statewide would be \$1,978 gigawatt hours a year.

13 The utility bill savings starting in 2018
14 will be \$300 million and they'll go up to \$430
15 million by 2029, so that is a significant dollar
16 savings to the consumer in their bills.

17 Also, I would like to mention some
18 environmental benefits of this Regulation. I
19 have combined it with the General Purpose
20 lighting benefits, standards will reduce the size
21 of nitrogen by 6,558 tons and then sulfur dioxide
22 by 116 tons, and particulate matter by 1,148, and
23 this would also reduce the GHGs by 10.3 million
24 metric tons per year from 2017 to 2029.

25 Now, I would move to the Portable

1 Luminaires. We have made one change in portable
2 luminaires. Currently portable luminaire
3 regulations required to be sold either with a CFL
4 or with an LED that meets these specific
5 requirements. So we propose to amend the
6 language for LED to require state regulated LEDs,
7 so this would help actually to the portable
8 luminaires that they will be sold with the state
9 regulated LEDs which are next, Gabe is going to
10 present what the Proposed Regulations are for
11 general service lamps. So with that, I would
12 like to take the questions and at the end of
13 Gabe's presentation, and thank you very much.
14 Oh, for my contact information, it is on the next
15 slide, I'm sorry. And the Docket Number for
16 written comments is 15-AAER-06. And the email
17 address is given there. With that, thank you.
18 And Gabe?

19 MR. TAYLOR: Thank you very much,
20 Harinder, and thank you for all the extensive
21 amount of work you've done on this rulemaking,
22 thus far.

23 My name is Gabriel Taylor and I am an
24 Engineer here at the Energy Commission in the
25 Building Standards Development Unit. I'm also a

1 subject matter expert in lighting in that unit.
2 And as many of you know, Ken Rider has accepted a
3 position as an Advisor to Commissioner David
4 Hochschild here at the Energy Commission, so I am
5 excited to step in where he's leaving off on this
6 rulemaking, although I doubt I can fill his very
7 large shoes here.

8 But I'm very excited about being able to
9 participate in this rulemaking because I believe
10 that we collectively are standing at a point in
11 the history of artificial lighting that is no
12 less significant than our transition from
13 combustion sources of artificial lighting to
14 electrification of artificial lighting.

15 Solid State technology gives us the
16 opportunity to not only reduce the amount of
17 energy consumed in artificial lighting by nearly
18 an order of magnitude, it's almost unheard of in
19 energy efficiency, but also to provide a quality
20 of light that is essentially indistinguishable
21 from the sunlight that our eyes have adapted to
22 perceive.

23 I think that we will look back in our
24 career and think of this decade as something that
25 we were lucky to participate in and I hope that

1 we take that seriously as we move forward and
2 think about where we want to be decades from now,
3 where do we want light, artificial light, on this
4 planet to be decades from now?

5 So to that end, I'm going to focus on
6 general service lighting, the lighting that most
7 represents that sunlight that we artificially
8 provide in our built environment so that people
9 can see what they're doing and can provide the
10 light that they need to do what they need to do
11 in those environments.

12 The scope is designed to zero in on that
13 part of the light spectrum. I'm going to start
14 with a few definitions from the Regulations and
15 then I'll tease apart the Regulations to
16 highlight some of the points that I think are
17 most significant.

18 State Regulated Light Emitting Diode LED
19 Lamps, this is a definition that we're proposing
20 in these Regulations that I think will be very
21 critical. So the connected lamps, I believe
22 you're familiar with the need to regulate lamps
23 that have a continuous draw of power that in many
24 cases can totally eclipse the amount of power
25 that they draw to actually provide light. And

1 you should be familiar with this, it's a
2 technical definition of the distance that the
3 light deviates from its Planckian locus, the
4 white light that we want to zero in on in the
5 scope of this rulemaking.

6 And finally, the definition of a state
7 regulated light emitting diode lamp. I'm going
8 to pull this apart into basically four sections,
9 we have the form factor, so these are bases E-12,
10 E-17, E-26, and of course, GU-24. This includes
11 retrofit kits that have bases of that type.

12 The scope only includes lights that are
13 less than 2,600 lumens, so we are looking at
14 General Service Lights, these are white lights
15 that will be used in the built environment for
16 general task lighting, general lighting. CCT,
17 Color, between 2,200 K and 7,000 K, again, white
18 light, general service. And finally, again back
19 to the DUV, this is the scope, not the mandate,
20 this is the scope, a DUV above or below the
21 Planckian locus of .012. Let's drill down to
22 that last two points a little bit more, we have
23 here the Planckian locus and the full spectrum,
24 and our scope covers just that part right there
25 in the middle between 7,000 K, 2,200 K, and above

1 and below the curve.

2 The effective date for these Regulations,
3 January 1, 2017, for Tier 1, January 1, 2019 for
4 Tier 2, both effective dates are for
5 manufacturing dates, so this is products that are
6 manufactured on or after these dates must comply
7 with the Regulations. Products that are
8 manufactured before these dates are not subject
9 to these Regulations.

10 We're only looking at products that are
11 greater than 150 lumens. This is to exclude
12 those products that are purely for decorative
13 purposes, products that are not going to provide
14 general white light. And then Ken has done a
15 bunch of research on this, this equation
16 basically extends at the higher color CCTs up
17 towards 7,000 K. There's a slight addition to
18 the higher allowances to account for variations
19 in the color spectrum at that CCT. And finally,
20 CRI of 82 or greater, but there's an equation,
21 make sure to look at that.

22 The individual color score -- I think
23 this is a critical part of this Regulation -- we
24 have had a lot of debate, I think, with most
25 people here and I think internally, about the

1 correct color that would replace an incandescent
2 source. We have to remember that the goal of
3 these Regulations are to manage this transition
4 and this marketplace. As we move from what is
5 upwards of 70 percent of sockets are still
6 incandescent; as we move from those sockets
7 having incandescent products and consumers
8 replacing them with a Solid State source, that
9 saves an enormous amount of energy, we want to
10 make sure that the consumers are satisfied with
11 the color and with the energy savings.

12 At the same time, we need to make sure
13 that the marketplace sees a level playing field
14 and that the Manufacturers have a predictable
15 path to guide their development cycles.

16 A power factor of 0.7 and a rated life of
17 10,000 hours or greater, we all know that the
18 effective life of solid state products can be
19 much larger than this, but we want to make sure
20 that consumers see that order of magnitude
21 increase in the life of the products compared to
22 the incandescent incumbent.

23 These Regulations propose to make sure
24 that A Lamps that consumers expect to be Omni-
25 directional are Omni-directional, and that lamps

1 that consumers do not expect to be Omni-
2 directional obey the ENERGY STAR decorative light
3 distribution requirements, to distinguish in the
4 market space for the consumer between the Omni-
5 directional lamp and the non-Omni-directional
6 lamp.

7 And this is back to the communicating
8 lamps. We've seen a number of these on the
9 marketplace and by all accounts the penetration
10 of the marketplace will increase drastically over
11 the coming decades. The .2 Watts or less is on
12 the market already, and some look much lower than
13 that, and I think if we look at the various
14 portable technologies we can see that,
15 communicating devices that consume a lot less
16 than that is technically feasible and the
17 calculations are in the analysis, but if you get
18 much over .2 watts, the standby load begins to
19 eclipse the lighting load. So that's critical.

20 So as far as technical feasibility, staff
21 has done an extensive analysis of the marketplace
22 as it exists now, we find 537 models of medium
23 screw-based omnidirectional lamps currently meet
24 the Tier 1 efficacy and CRI requirements that
25 will not go into effect until January 1, 2017.

1 And further, there are more than 100 that meet
2 the 2019 target.

3 Similarly, for medium screw-based
4 directional lamps, over 600 models currently
5 available that meet the Tier 1 standard, 18 that
6 meet the 2019 Tier 2 Standard, and I believe that
7 should be a fairly easy step.

8 And then finally, for Candelabra,
9 obviously this was more challenging, it's a
10 smaller form factor, we have a smaller number of
11 products currently in this space, but we're
12 optimistic that that will move rapidly as
13 consumers start to transition and the market
14 expands.

15 The cost-effectiveness, I probably don't
16 need to go into too much detail here, I think
17 that while the cost-effectiveness of this
18 technology is apparent, the question is just
19 where we land on these Regulations. Again, more
20 cost-effective numbers.

21 By all accounts, if you look at the
22 upwards, almost 600 million screw-based sockets
23 in the State of California, this doesn't even
24 include the rest of the country or the rest of
25 the world, and the upwards of 70 percent of the

1 product in there that's currently incandescent,
2 if we were to transition those over to a solid
3 state product, it's many billions of dollars per
4 year of energy savings. This is a very very
5 significant savings, one of the most significant
6 currently left in the built environment.

7 So again, my name is Gabriel Taylor and
8 here's my contact information. I'll be taking
9 over, again, for Ken Rider, he'll still be an
10 esteemed technical Advisor on occasion, but his
11 responsibilities will be, since he's actually
12 taking over a position that I held a little while
13 ago, his responsibilities will be significant, so
14 I doubt he will have a ton of time to devote to
15 this. But I'm excited to be working with you on
16 this and I look forward to take your comments.

17 MR. SINGH: Thank you, Gabe. At this
18 time, I would like to introduce and invite
19 Professor Lorne Whitehead from the University of
20 British Columbia to come up and provide some
21 insight into some of the key issues around
22 lighting and efficiency Standards. Professor
23 Whitehead is a member of the IES Color Committee
24 and has led significant research on color
25 quality, color perception, and lighting

1 efficiency with respect to Solid State Lighting.
2 He is one of the brains behind the new methods
3 for evaluating lighting color rendition, TM-30.
4 We welcome Professor Whitehead to deliver some
5 remarks at this time. Go ahead, Professor.
6 Thank you.

7 PROFESSOR WHITEHEAD: Thank you very
8 much. As mentioned, I'm Lorne Whitehead. Good
9 morning, CEC, Honorable Commissioners, and staff.

10 I'm making really overview remarks, and
11 they'll be relatively brief, both on the value of
12 color rendering and also some misunderstanding
13 concerning color rendering.

14 As mentioned, I think I'm qualified to
15 make these comments and they'll be quite simple.
16 The first involves the value of color. It's
17 obvious that color is important to people,
18 there's a huge color industry consisting of a
19 great deal of time and money being spent, and
20 art, and design, in printing, paints, textiles,
21 jewelry, cosmetics, what have you. It's such an
22 obvious part of our society, we sometimes don't
23 think about it, but it's everywhere you turn.

24 And in order to take advantage of color,
25 for it to be meaningful, for it even to exist, we

1 need color vision. So most of us are blessed
2 with very good quality color vision. We
3 sometimes don't realize it, but it's something
4 that people are really good at. But in order to
5 have good color vision, you also have to have
6 lighting that enables good color vision to work,
7 and that's what color rendering is about. So if
8 you have poor color rendering, you're actually
9 impairing the quality of our color vision.

10 So that sounds like a terrible thing, why
11 would we even imagine that it would make sense to
12 have electric lights that cause color distortion?
13 And the historical fact is we didn't have a lot
14 of choice if we wanted to have energy efficiency,
15 but now we have a choice. So now that we can
16 have excellent color quality, as was mentioned
17 previously, why would we consider not doing that?

18 Well, I'll answer that, or at least I'll
19 address a few kind of understandable concerns
20 that come up from time to time, and just suggest
21 that they really don't apply anymore. Maybe the
22 simplest concern, I'd call it the "existence of
23 color rendering deniers," there are people that
24 don't care about color. I was recently at a
25 conference where various team persons stood up and

1 said to the group that he doesn't care about
2 color rendering, and neither does his wife. And
3 that's just fine. There's no need for everyone
4 to care about anything in a great society, there
5 are people that probably don't have good -- or
6 aren't interested in good color vision, or using
7 it. But there are a great many people that
8 really do care about it. They care about color,
9 they care about color vision, and they care about
10 color rendering. So, you know, we're a
11 Democracy, we should be open to a range of use on
12 that topic and not deny those who care about
13 color the opportunity to see it.

14 So a much more interesting issue is the
15 question of energy efficiency. This is the last
16 place anybody needs to say that the things we
17 value, almost all of them have an energy cost.
18 So comfort, convenience, safety, it never comes
19 for free from an energy perspective. And color
20 rendering is the same. It's another good thing
21 that doesn't come for free from an energy
22 perspective.

23 But let's just talk about that in a bit
24 of detail. And before I do talk about that
25 question of squeezing a little bit more light out

1 of a watt of electricity by means of reducing
2 color rendering, I will say one more introductory
3 thing about me. And this is just so you know
4 where I'm coming from. I have dedicated my
5 career to energy efficiency. So I actually have
6 over 100 U.S. patents on things, inventions or
7 devices that use light more effectively to save
8 energy. Personally, I bike to work, my wife and
9 I share a small hybrid care, we're totally into
10 the idea that people should have a smaller energy
11 footprint.

12 But nevertheless, and again I'm stating
13 the obvious, if you'll pardon me, it's a fact
14 that some ways of saving energy are good.
15 They're better in every way. They make life
16 better, they save energy, it's good; and there
17 are other potential ways to save energy that
18 aren't good in the sense that they cause net
19 harm, even though they save energy. So I'll
20 throw a silly example, but it makes the point, I
21 think. Take automobiles. We could remove from
22 automobiles air bags and seat belts, and they
23 would weigh less and they would therefore be more
24 fuel efficient. Nobody even considers doing that
25 because it would be a net loss. But we always

1 have to ask, what is the trade-off? What is the
2 relative value? And I'm here to say, caring
3 deeply about energy savings, that the idea of
4 diminishing color quality to save a little bit of
5 electricity is a bad idea, it's in the bad
6 category of ways to save energy, especially
7 because when it comes to lighting there are so
8 many better ways. So I'll just mention a few.

9 In this room, as an example, the surfaces
10 are dark. If the surfaces were ever so slightly
11 lighter in this room, we could use significantly
12 less electricity and see just as well. The
13 Luminaires in this room and virtually every room
14 could be made much more efficient by using just
15 slightly more reflective surfaces that are
16 commercially available, and just aren't the
17 cheapest or most cost-effective thing to use.

18 And those savings don't even compare to
19 what's possible with better lighting controls,
20 making sure that every lumen counts. But, you
21 know, even if you don't want to do those, if you
22 want to get high quality color, you can simply
23 back off the lumens, say 10 percent, which nobody
24 can see. So there are at least four really good
25 ways to save energy and reducing color rendering

1 simply isn't one of them. And I think there's
2 widespread agreement with that now, and I applaud
3 the fact that CRI is taken into account in the
4 discussion today.

5 So that takes us to a third issue, there
6 are concerns expressed about CRI because it isn't
7 perfect yet. And it's not. As was mentioned,
8 I'm one of many people working on improving it.
9 And we are in the process of improving it, we
10 hope within a year or two we'll have a slight
11 upgrade to the CRI. But the upgrade won't really
12 change anything; nevertheless, at least it won't
13 change existing lamps' ratings an amount that
14 would matter for our discussion today. But
15 nevertheless, there are some people that say,
16 "Well, shouldn't we wait until we get the CRI
17 perfect?" And I'll use an analogy for that. You
18 know radar guns that people use, police use to
19 measure the speed of cars, well, they're not
20 perfect, they can have a slight error in the
21 reading. But it's not too big an error. Imagine
22 somebody saying, "Well, we're going to stop
23 controlling speed, or stopping speeders until
24 radar guns are perfect." That would make no
25 sense. And there's I think a similar -- the

1 analogy applies to CRI. It's perfectly good
2 enough for the purpose and the rulemaking that
3 we're discussing today.

4 So that's really all that I wanted to
5 say, to summarize color rendering, it has always
6 been and remains extremely important, and the
7 good news today is we really don't have to
8 sacrifice it. Thank you.

9 MR. SINGH: Thank you very much. Now
10 we're going to take the comments. I have
11 received some blue cards. The first one is from
12 Mark from Osram Sylvania.

13 MR. LIEN: Thank you, Harinder and thanks
14 to the Commission for allowing me the opportunity
15 to speak here. I'm Mark Lien, I'm the Director
16 of Government and Industry Relations for Osram
17 Sylvania. Previous to working for Osram, I ran
18 the educational facilities for both Cooper and
19 Hubbell Lighting and taught in those.

20 I'm also the Chair of the Light Source
21 Section for NEMA, and you will be hearing from
22 some NEMA representatives today. We agree with
23 all of the Efficacy Standards that are laid out
24 in this current version of Title 20. And we
25 understand the need in California to move forward

1 with progressive regulations on energy efficiency
2 and to do so rapidly. So we're supportive of
3 that. We're also supportive of performance
4 metrics, that there are some metrics that bring
5 us a higher quality light and differentiate
6 products in the marketplace for consumer
7 preference.

8 Our research that we've been doing
9 extensively over the last few weeks has revealed
10 that in Title 20, we can't find any products that
11 meet all of the requirements. We can find
12 products that meet any one or two of the
13 requirements that are listed, but you'll hear
14 from representatives today that we don't have
15 products that can meet this. And the timeline is
16 very aggressive. And you'll hear why.

17 Now, we've raised these concerns before
18 at previous meetings and in written comments, but
19 today we brought a team of globally recognized
20 technical experts to go into some detail on this,
21 so you will hear specifically what the concerns
22 are and why they aren't attainable. Some of it
23 is what Lorne referred to earlier, is trade-offs.
24 You indeed can get to one of these categories,
25 but you're going to trade off another. And so

1 you'll get some technical background on that.

2 Title 20 does have quite a reliance on

3 CRI and, as the industry has recognized, it is an

4 incomplete metric. An argument could certainly

5 be made that it is what we had and have had since

6 1964 with some revision in 1974, but basically

7 for 50 years. Yesterday, I was at the Solid

8 State Lighting Conference in Portland that the

9 Department of Energy puts on, and another member

10 of the same committee that Lorne is on at the

11 Color Metrics Committee, actually the task force

12 for TM-30, presented, Michael Royer. And he

13 showed his latest research, some of which hasn't

14 been published yet, on color preference studies

15 that he's actually doing at PNNL Labs. And what

16 was shown were samples of light fixtures on

17 specific objects -- fruit, scarves, things with

18 lots of different colors. And in every instance,

19 the fidelity, CRI being a measurement of

20 fidelity, the highest fidelity was not preferred.

21 And in the studies that he has done, the

22 preference is for higher color saturation. But

23 there's a tradeoff: when you raise color

24 saturation, you lower color fidelity numbers.

25 And this new research that's coming out of TM-30,

1 and from PNNL Labs specifically on color
2 preference, it's showing us some of the problems
3 that are inherent in using CRI as synonymous with
4 quality. It's not synonymous with quality at
5 all, and when you raise the saturation for
6 specific applications and for consumer
7 preference, you will reduce the fidelity metric.
8 So some of these fidelity metrics are going to
9 limit the types of products that consumers would
10 actually prefer in the marketplace.

11 I would encourage the Energy Commission
12 to engage some of your technical experts, and
13 certainly at the CLTC, you have Michael
14 Siminovitch and Michael Costa that are extremely
15 knowledgeable in this area, they could work
16 perhaps on your funding programs to deliver some
17 more research to validate the quality discussion
18 that's ongoing and accelerating in the lighting
19 industry right now. Thank you.

20 MR. SINGH: Thank you, Mark. Before I
21 move to the next commenter, I'd like to mention
22 that our staff diligently looked into all the
23 products that are available in the market and we
24 find the proposed regulation there are products
25 available currently, a number of products, so

1 with that I would like to move to the next
2 comment from Alex Baker from Lumileds.

3 MR. BAKER: Good morning. Alex Baker
4 with Lumileds. I'm the Director of Standards and
5 Regulations at Lumileds. So good morning, ladies
6 and gentlemen. I'm here representing Lumileds,
7 as I said, one of the three largest package
8 manufacturers in the world, LED packages and, of
9 course, all these lamps and luminaires are built
10 on a plurality of LED packages. We have research
11 marking and production facilities located in San
12 Jose.

13 We're concerned that the 45-day language
14 discussed today proposes a series of requirements
15 which, taken individually, would set a very high
16 bar, but when combined together create a leading
17 edge performance specification, which we don't
18 think is an appropriate floor for the California
19 market.

20 We respectfully submit that the CEC's
21 well-intentioned efforts to drive quality along
22 with efficiency is sort of upside down, with the
23 proposed regulation representing higher
24 performance than the CEC's so-called voluntary
25 California quality LED Lamp specification.

1 We have four technical comments for the
2 Commission's consideration. The chromaticity
3 requirements create a two-step band of
4 acceptability which is too restrictive and would
5 eliminate more than 70 percent of LED packages
6 falling within the American National Standard for
7 LED chromaticity. So Lumileds requests that you
8 simply make normative reference to Table 1 of the
9 American National Standard and CC78.377, the 2015
10 version. That takes care of it and makes it very
11 simple, straightforward, and aligns with what the
12 industry is doing.

13 Secondly, the minimum 82 CRI requirement
14 is inconsistent with how Lumileds and how our
15 competitors bin for CRI. LED packages in the
16 market are not binned this way. A typical
17 distribution would be a minimum of 80 with the
18 typical of 82, in which no parts on the reel
19 would have a performance below 80 CRI. And it is
20 those two additional points that provide margin
21 for LED lamp manufacturers to hit the 80 CRI at
22 the lamp level. So, thus, the CEC's proposal
23 results in a requirement that's essentially a
24 minimum 85 at the LED package level in order to
25 hit that 82 at the LED lamp level. So Lumileds

1 requests that the Title 20 require a minimum of
2 80 CRI, rather than 82. This would be more
3 consistent with the way the business is done.
4 All the lighting vision scientists also agree, or
5 I think most all of them agree, that two points
6 are completely imperceptible, anyway.

7 Third, the minimum R1 through R8
8 requirements, while they appear to benefit one
9 specific California manufacturer, in simpler
10 terms this boils down to a CRI minimum of 85. If
11 you take all of those together, you end up with
12 simply an 85 minimum CRI requirement. No one is
13 binning LED packages for CRI between the 85 and
14 90, thus to fulfill this requirement at the LED
15 lamp level would require LED package binned at a
16 minimum of 90 CRI. So altogether, you end up
17 with essentially a 90 CRI spec by way of these
18 sort of various piece parts.

19 So again, for the sake of rapid market
20 adoption, Lumileds requests that Title 20 require
21 a min 80 CRI at the LED lamp level.

22 And then my fourth and final technical
23 comment is that Table K-14, Minimum Compliance
24 Scores, would then further reduce the number of
25 LED packages available to support products for

1 the California market. To ensure LEDs are
2 available to support the market at consumer
3 friendly shelf prices, we restate our request for
4 an 80 CRI requirement at the LED lamp level, and
5 ask you to consider a reduction of the minimum
6 compliance scores.

7 So in closing, the Title 20 proposal for
8 LED lamps is a somewhat arbitrary definition of
9 high performance, which would drive up cost and
10 leave most LEDs that could otherwise support the
11 CEC's effort to reduce energy consumption, would
12 leave most of those LEDs behind. So echoing what
13 you will hear from other manufacturing
14 colleagues, there really is no adoption problem;
15 rather, there's a problem with initial consumer
16 cost that needs to be addressed, and this
17 proposal works against that goal. Thank you.

18 MR. SINGH: Thank you very much, great
19 comments and we will review it and recommend to
20 the Commissioners for their guidance. Thank you.
21 The next commenter is Susan Callahan from Osram
22 Sylvania.

23 MS. CALLAHAN: Good morning. I'm Susan
24 Callahan, Manager of Energy Relations from Osram
25 Sylvania. I'd like to point out that Osram is

1 the second largest manufacturer in the world of
2 LEDs, and we have locations also here in
3 California. I'm going to comment in particular
4 on our values and CRI and their impact on the
5 proposed specifications.

6 First some observations. Generally, LED
7 lamps with very high CRI, in the neighborhood of
8 90+, have lower efficacies than LEDs with CRIs in
9 the 80s. LM-79 reports are not required, too, so
10 they may not include all of the R-values required
11 in this version of Title 20. Generally, LED
12 lamps with very high CRI have R1 through R8
13 values greater than 72. LED lamps with CRIs in
14 the '80s are deficient in one, but not more than
15 two R-values. It is disingenuous to suggest that
16 82 CRI LED lamps will be able to meet the
17 proposed specification.

18 It appears that R9 has been used in error
19 as a proxy for R8, leading to the incorrect
20 conclusion that there are large numbers of lamps
21 in DOE's Lighting Facts and EPA's ENERGY STAR
22 Database that will meet the minimum requirements
23 of 72. There is no physical basis to use R9 as
24 an indicator of other R-values, particularly R8.
25 R9 is a saturated red and R8 is an unsaturated

1 light reddish purple. We are concerned that the
2 R1 through R8 minimum requirement of 72 is more
3 relevant to fluorescent rather than LED lamps
4 which are a unique source in many ways.

5 It may be possible to obtain an R8
6 greater than 72 LED lamp with adequate efficacy
7 by using an RGBW chip set, essentially a dumb
8 smart lamp. This is a very expensive solution to
9 the problem. A solution proposed in the Staff
10 Report, the addition of red LEDs to a white LED,
11 increases the driver complexity, requires color
12 mixing capabilities, and also increases the cost.

13 Another solution proposed in the Staff
14 Report is the use of a red phosphor, which will
15 have the effect of reducing efficacy. The
16 minimum compliance equation, which is based on a
17 combination of efficacy and CRI, and the 72
18 minimum R1 through R8 requirements, runs the risk
19 of forcing consumers to seek out less efficient
20 products due to cost, or lack of available LED
21 products that meet their needs.

22 Osram Sylvania with our NEMA partners is
23 very interested in working with the CEC to save
24 energy and to increase LED adoption rates.
25 Rational reasonable appliance Standards for

1 lighting products can help us meet these goals
2 together. We encourage the CEC to revise the
3 proposed additions to Title 20 to ensure quality
4 products are available to meet every application
5 at the highest possible efficiency levels. Thank
6 you.

7 MR. SINGH: Thank you. You know, I think
8 we'll hear all the comments before we make a
9 comment at the end. So our next commenter is Jim
10 Gaines from Philips Lighting.

11 MR. GAINES: I'm Jim Gaines from Philips
12 Lighting. I'd like to thank the CEC for the
13 opportunity to give comments on the proposed 45-
14 day language. We recognize California's goal to
15 capture the increased energy savings promise to
16 buy LED and we support that goal. However, we
17 are very concerned that the scope of the current
18 proposals, as written, are so broad and the
19 various requirements taken together are so high,
20 that if enacted without revision it will fail to
21 achieve these goals. The lamps won't be adopted.

22 Instead, we believe the overall effect,
23 while unintended, will in fact slow the adoption
24 of LED products and greatly reduce the amount of
25 actual energy savings it's possible to achieve

1 with more reasonable Standards.

2 I'd like to make a comment on Lorne's
3 remark. The person who mentioned that he and his
4 wife don't care about color is Francis
5 Rubenstein, who is a very well-known California
6 lighting expert. He didn't say he doesn't care
7 about color, but that they don't see the
8 difference between 80 and 90 CRI.

9 I'd also like to make a comment on what
10 Mark said. NEMA has been operating under the
11 assumption that the written text regarding DUV in
12 the 45-day language is correct. Mark's
13 statements were based on the document, which
14 limited DUV to less than plus or minus two
15 MacAdam steps from a band of less than two steps.
16 That was changed in the presentation we just saw
17 this morning, so there are actually some products
18 that do meet the spec with that DUV change;
19 however, that doesn't change our objection to the
20 elevated color performance specs.

21 So we're pleased that CEC has realized
22 the error in the definition of the color
23 uniformity requirements and in the future we'd
24 like to see a greater level of scrutiny and
25 internal checking of the technical analysis and

1 requirements prior to publication of the
2 language. Industry members spent a lot of time
3 fretting over the color uniformity spec and
4 investigating its technical feasibility, doing
5 data mining and analysis. Given the short time
6 period between publication of 45-day language,
7 this hearing, and the deadline for public
8 comments, it's very unfortunate that considerable
9 time and effort was wasted on the incorrect spec.

10 We're looking forward to seeing 15-day
11 language with corrected color chromaticity
12 requirements.

13 Okay, regarding CRI greater than 82 and
14 R1 to R8 greater than 72, the minimum CRI
15 requirement of 82 actually inherently conflicts
16 with the mandatory requirement that all Rs be
17 greater than 72. With today's technology, data
18 from chip manufacturers, analysis of our own
19 lamps and the study done by CLTC, shows that CRI,
20 if you require R1 to R8 to be greater than 72,
21 you have to have a CRI of at least 85. And that
22 means, as Alex said, you have to design for 86,
23 87. So in some sense, this is still a CRI 90
24 requirement given the unavailability of LEDs from
25 85 to 89.

1 The CRI requirement implies widespread
2 feasibility between the minimum CRI score of 82
3 and the individual R factor minimums. They're
4 interdependent. If the CEC's real intent is to
5 only allow nominal CRI 90 products into the
6 market, then this should be clearly stated in the
7 proposed legal requirements, and the CEC should
8 clearly take responsibility for proposing that
9 consumers can only purchase these less efficient
10 and/or more expensive CRI 90 products.

11 By having unrealistically high
12 requirements for R8, manufacturers will be forced
13 to effectively supply nominal CRI 90 products to
14 the market; the net result is going to be that
15 the California consumers is going to be forced to
16 buy the more expensive and less efficient CR 90
17 lamps. Compared to consumers in the rest of the
18 country, Californians will have to spend more and
19 get less efficient bulbs.

20 We're not aware of any scientific
21 evidence in the U.S. or other countries that
22 consumers want CR 90 greater than 90 overall as
23 their minimum, nor has the CEC produced any
24 evidence to support this claim. What we do see
25 are strong sales and strong adoption of CRI 80

1 products in today's market, despite the
2 availability of both CRI 80 and 90 products.
3 This is very clear based on greater than 80
4 million CRI 80 and above LED lamps sold in the
5 U.S. in 2014, and we see similar trans-globally.
6 However, CRI 80 products are almost always more
7 efficient and cheaper than CR 90 based on the
8 laws of physics and the additional design
9 complexity required for CRI 90.

10 We would like to propose that the R8
11 requirement be reduced to greater than 50, as we
12 stated in our last series of comments, and the
13 minimum CRI to 80. This will allow CRI 80
14 products to meet the color rendering requirements
15 and allow more efficient and cost-effective
16 products to be sold in California. This will
17 also mean that Californians have the same access
18 to less expensive and higher performance products
19 as the rest of the country, and most importantly
20 will allow the State of California to address its
21 energy conservation needs. Thank you.

22 MR. SINGH: Thank you, Jim. I think our
23 next commenter is Tom Stimac from GE Lighting?

24 MR. STIMAC: Good morning, everybody. My
25 name is Tom Stimac. I'm the Chief Innovation

1 Manager for GE Lighting. I've spent the last 15
2 years of my career focused 100 percent on LED
3 lighting, everything from signage products that
4 you will see outside of your building façade, to
5 indoor downlights, cobra heads, LED lamps. As
6 part of my role, my main job is to understand how
7 to move LEDs into everyday life for the consumer.

8 As a part of the overall work that we
9 have done as part of NEMA, GE has some specific
10 inconsistencies that they've seen as a part of
11 the Staff Report versus the terms that have been
12 published. Number one, the DUV. As Jim
13 mentioned, we spent a lot of time focusing on the
14 overall DUV equation that was in the action
15 express terms. As a part of that, what we have
16 actually seen and would like to make light of is
17 that the overall specifications today for DUV
18 come from ANSI. That overall standard has been
19 in effect since 2008. ENERGY STAR has used it as
20 part of their overall certification since 2009.
21 We have not seen an outpouring of disapproval
22 from the consumers regarding that spec, and we
23 continue to see mass adoption in other parts of
24 the country and in the world with that spec as
25 the baseline.

1 Our recommendation is actually to keep it
2 consistent with the actual ANSI spec so that in
3 time when we would like to make an update as
4 technology does increase, we can make small
5 changes to the overall regulation to add total
6 control.

7 The constriction of the DUV space from
8 seven steps to four has a fundamental cost
9 impact. That cost impact is, as Alex has
10 described, is at the LED level, but is even
11 greater at the lamp level. So every time an LED
12 actually costs more, it actually is also very
13 difficult for a manufacturer like ourselves to
14 handle all the different bins of LEDs. Currently
15 today we have to recipe LEDs which essentially is
16 a technical way of taking one LEDs from one reel
17 to another reel to try to mix them together and
18 actually get a consistent color point.

19 Once you start taking down the number of
20 bins that we can actually go through and mix, you
21 actually start to us to lose yield, right? And
22 once you start to lose yield, your economies of
23 scale grow much much smaller, and that
24 fundamental cost impact will be simply passed on
25 to the consumer. So to say that there's no cost

1 impact with respect to going to a four step
2 eclipse is fundamentally technically wrong. We
3 have found that the number one parameter for
4 adoption is cost. If you were to go ask any
5 consumer what DUV their lamp is, and what they
6 really would like, they wouldn't be able to even
7 explain to you what it is. I spend some of mine,
8 and people laugh, at least one week a month in a
9 big box retailer or a store simply sitting in the
10 lighting aisle trying to understand what the
11 consumer habits are.

12 You know, at GE we feel that the consumer
13 is the ultimate voice. And what you'll see is
14 that most of them don't understand the majority
15 of the different technical discussions we're
16 having today. And what we kind of try to do is
17 use them and understand and be their trusted
18 advisor.

19 The other large inconsistency that we see
20 is something called the White Color Space. In
21 the Staff Report, there was a discussion of the
22 white color space or, for those that might be
23 more familiar with the DUE definition, Modified
24 Spectrum Lamp. That is no longer found in the
25 express terms. There are products GE reveals,

1 one that we manufacture today, that actually
2 operate in this white space. This is below the
3 black body, and what has over time shown a
4 consumer preference for that color of white.
5 We've talked a lot today; you've heard a lot of
6 different people talk about preference. Well,
7 what you need to make sure is that you are
8 offering the right amount of preference to the
9 end user.

10 These products are just as efficient and
11 actually have seen a higher amount of adoption.
12 The Lighting Research Center and others back as
13 far as 2012 have actually shown this in real
14 world data and studies that this color point is
15 something that is real, and with more research
16 you will see more and more products be
17 manufactured to that spec.

18 Indeed, the Staff Report indicated the
19 CEC intended to allow this lamp type to continue,
20 however, the proposed restrictive color
21 requirements were not allowed the continued sale
22 of this lamp.

23 The next point is more on the small
24 diameter lamps. The current expressed terms go
25 so broad that it includes many different

1 specialty MR16 lamps for which there is no LED
2 replacement. These specialty lamps are used in
3 expensive specialty equipment, have different
4 operating voltages, different focal lengths, and
5 other technical characteristics that LED lamps of
6 today or future will be unable to match.

7 Industry is proposing new scope language
8 for these products that focuses on very specific
9 technical characteristics that would allow them
10 to be excluded, to ensure that there are no
11 issues in the marketplace and to ensure that
12 people can still use the equipment in other
13 specialty applications.

14 The final comment is regarding off state
15 wattage. You know, as we have seen more and
16 more, the idea of a smart lamp has come about,
17 nobody wants a dumb product anymore, everybody
18 wants the overall lamps or the lighting in their
19 home to be intelligent. Yesterday we actually
20 heard some feedback from different people at the
21 DOE meeting from Intel, Google, Apple, everyone
22 else, that lighting is the prime real estate of
23 the future. This will be the actual avenue for
24 controls, for video, for being able to talk from
25 room to room.

1 With this in mind, the express terms show
2 a .2 off state wattage specification. This is
3 very limiting and doesn't allow much
4 functionality or room for development. The
5 current specification would actually eliminate
6 the use of certain technologies like WiFi because
7 of some higher off state wattages that are needed
8 to ensure that that technology works correctly.

9 The Commission is actually in a very
10 unique position as they can actually enable and
11 accelerate the use of this technology and to
12 ensure that the overall system gains of reduced
13 wattage in the home, if someone leaves their
14 lights on, they can turn it off from their phone;
15 if their kids are playing with the lights, they
16 can turn them off; if their neighbor forgets the
17 lights and you have the password, you can
18 actually turn off your neighbors' lights. There
19 are a lot of different things that can be done
20 and we really recommend that the Commission as a
21 whole allow the one-watt allowance that you see,
22 or use other industry specs such as the EPA and
23 others that have a much wider tolerance. Thank
24 you.

25 MR. SINGH: Thank you, Tom. The next

1 commenter is Dave Gatto from Westinghouse.

2 MR. GATTO: Good morning. My name is
3 Dave Gatto with Westinghouse Lighting.
4 Westinghouse Lighting is a small business, we're
5 actually family-owned, don't let the name fool
6 you. Based in Pennsylvania, we have our largest
7 distribution center right here in California,
8 it's located in Chino and it services our
9 national retail partners nationwide.

10 I have been with Westinghouse before it
11 was Westinghouse. I'm the Director of Compliance
12 currently, and I've held different roles along
13 the years, most of them involving product, but
14 also product marketing, and retail and consumer
15 sales, so kind of a little bit of everything
16 going on there.

17 You heard a lot of technical comments
18 this morning and I'm supportive of them,
19 particularly the ones related to CRI and consumer
20 preference. I'm mainly going to talk about the
21 scope for a few minutes. I am going to break it
22 into two pieces because I think it's different,
23 we have some different concerns with general
24 service LED lamps than we do with Small Diameter.

25 So as outlined in the recent Staff

1 Report, we recognize the goal is to capture the
2 energy savings that are outlined in your goals,
3 AB 1109, and with what the Commissioners look
4 for.

5 Jim said something that I really liked
6 the way it sounded, I think the challenge that we
7 have here is that the current proposals as
8 they're written today are so broad, and the
9 requirements are so detailed that we run the risk
10 of eliminating the very products we want to sell.
11 And that would take us backwards from energy
12 savings.

13 We do strongly support the energy savings
14 goal of the Commission. Westinghouse has added
15 more than 100 new LED lamps in the last 12
16 running months, and we have, God help me,
17 hundreds more probably on the horizon. But we're
18 concerned about the scope.

19 So as it relates to general service LED
20 Lamps, the expanded definition is just simply too
21 broad. It impacts products that it is not
22 possible to replace with LEDs that are available
23 today, and to be perfectly honest, in some of the
24 smaller decorative styles, it will not be
25 possible to replace them any time soon,

1 definitely not in time, or at least we don't
2 think so, to meet the compliance date.

3 From a general service standpoint, true
4 general service, we would agree that the efficacy
5 requirements are appropriate and I would kind of
6 repeat Mark Lien's statement that, you know, in
7 the absence of some of these other requirements,
8 we wouldn't have any objection at all. But
9 within the scope, we think that the inclusion of
10 E-12 and E-17 base, particularly with no
11 exemptions or room for small profiles, small
12 diameter lamps, as well as specialty lamps that
13 are not general purpose in their normal use,
14 sign, display, and other specialty applications,
15 that you're going to unintentionally pull into
16 scope products that consumers need and that
17 there's nothing to replace.

18 The definition actually doesn't describe
19 the general service lamp very well because it
20 includes all these specialty applications, so we
21 think a more practical approach would be to limit
22 the scope to the proposal so it more accurately
23 covers the products that you're aiming for, and
24 we do think that at least from a base-type
25 standpoint, you wouldn't necessarily be able to

1 stick with simply E-26 and GU-24. I think if you
2 bring E-12 or potentially E-17 in, then you're
3 going to need to, and we would propose some
4 exemptions for specialty lamp types, not just
5 lower lumens, which is something that we're going
6 to dialogue, but there are some appliance lamps
7 that are very tiny that have 300-400 lumens and
8 would not easily be replaced by LEDs,
9 particularly with the CRI requirements that
10 simply don't apply for our appliance.

11 In addition, even though we believe that
12 the scope could be changed to better represent
13 the product types that you're aiming for, the CRI
14 and other requirement taken together would pose
15 greater challenge than I think the Commission
16 realizes. While we do see some products that
17 meet one or two of those together, we are also
18 unable to find many, I hate saying "any", but
19 many products that meet them all.

20 Finally, on the general service lamp
21 application, or general service LED lamp
22 definition, we think the inclusion of recessed
23 downlight reflector luminaires is inappropriate.
24 These products are considered luminaires, they're
25 not lamps. ENERGY STAR recognizes them as such,

1 and so does the industry. A traditional
2 replacement lamp is one thing, but LED downlight
3 retrofit kits typically are designed to replace
4 the entire luminaire. They have optical and
5 glare components that are not typically things
6 that we're concerned about with lamps, and these
7 products would be less easy to lump in with the
8 way the proposal is currently written.

9 As it relates to Small Diameter Reflector
10 Lamps, unlike general service LED lamp Standards
11 being proposed which only apply to LED light
12 sources, the small diameter reflector lamp
13 standard will impact every product made that
14 meets the definition, regardless of the
15 technology currently used to make the product.

16 The product definition for this category
17 is very broad and, in conjunction with the
18 Standards, it could result, I think will result,
19 in a huge reduction of available products in the
20 market. The increased cost to consumers, while I
21 understand the Commission has addressed the
22 incremental cost, what we believe has been left
23 out of the analysis is the loss of stranded
24 assets. There are products that consumers own
25 today, decorative and commercial fixtures, where

1 there will not be, and is not today, an LED
2 product that can replace. High wattage, low
3 diameter MR-11 and MR-16, alternate voltages, as
4 Tom Stimac mentioned, that go into certain
5 medical and other specialty equipment, this
6 equipment is part of the installed base for
7 California residents, and we would hate to see
8 them have to throw that equipment away, and we
9 think the cost of those products that they
10 already owned should be included in the
11 feasibility analysis.

12 (Pause) Forgive me, I was making changes
13 in my notes because other people covered some
14 things, and I don't want to duplicate it. What I
15 would suggest, or what I think we would suggest
16 from some conversations with other NEMA members
17 is a continued dialogue, 15-day as part of your
18 process, but with industry and other
19 stakeholders, we think with scope changes and
20 some minor changes in the proposal itself on the
21 regulation side, that we can find something that
22 works for everyone and can actually meet the
23 goals that CEC set out to address with this
24 regulation. Thank you.

25 MR. SINGH: Thank you, Dave. One of the

1 things we like to have from you is type of
2 products you mentioned here, what are those
3 products, what are the bases for the lamps and
4 things like that, very specifically, you know,
5 stating what products you're talking about so
6 that we can look at it and we have not seen -- we
7 conducted a workshop last year and there was a
8 lot of time and we haven't heard back anything
9 from you folks, so if you could provide us, that
10 helps us to look into what products you are
11 talking about so we can review those. Thank you.

12 MR. GATTO: Well, Harinder, I would like
13 to respond to that. I agree. For me personally,
14 and I shared this with someone else this morning,
15 we are a small business, but we are trying to be
16 more engaged, so I can appreciate that we may not
17 have shared some of the information you would
18 have needed to properly analyze. What I can say
19 is that not just Westinghouse, but many lamp
20 manufacturers, and NEMA is coordinating this
21 feedback, we're working very diligently to try to
22 find the list of items that you would need to
23 make a better analysis. So I appreciate that you
24 don't have the information and we're going to
25 work very hard to give it to you.

1 MR. SINGH: Great. Thank you.

2 MR. SAXTON: I would like to add that the
3 more that you're able to describe those products
4 with electrical or physical characteristics,
5 rather than just base types, would be very
6 helpful.

7 MR. GATTO: Sorry, Patrick, I was looking
8 -- I heard the voice, the voice of God coming at
9 me.

10 MR. SAXTON: No problem.

11 MR. GATTO: I think the short answer is
12 that's what we're aiming for, we're looking to
13 provide specific like literally wattage voltage
14 lamp-type shape. I think in some cases that will
15 be easy, particularly in the Small Diameter
16 because there are some very specific models that
17 have already come up for a lot of us that, while
18 I don't necessarily make some of these, I can
19 clearly recognize that there's no current or path
20 to an LED that would replace it. I think in
21 General Service, it's a little tougher and it's
22 tougher because of how big the variety is.
23 There's literally hundreds of shapes and sizes
24 and wattages that would fall in scope, so we're
25 going to point as many out as we can, but if

1 nothing else we would appreciate the Commission's
2 interaction and it doesn't just have to be here,
3 but as we provide this information we know that
4 you're going to respond, but also maybe have an
5 open dialogue because there are some things that
6 I think we could be missing, as well.

7 MR. SAXTON: Okay, thank you.

8 MR. SINGH: Thank you, Dave. Next
9 commenter is Dr. David Woodward from Philips
10 Lighting.

11 DR. WOODWARD: Good morning. I'm Dave
12 Woodward. I'm the Standards and Regulations
13 Manager for Philips Lighting for the Americas, so
14 everything from Alaska down to Argentina. I've
15 been in the Lighting Industry for 27 years and
16 I've headed Philips' North American operations
17 for product development of HID, fluorescent,
18 halogen lamps, and also all of our indoor LED
19 luminaires. So I have a pretty good perspective
20 on new products and product development, in
21 general.

22 Philips, the lighting industry, the
23 California IOUs and the CEC want to promote SSL
24 adoption to stimulate widespread energy savings.
25 Product cost is recognized as the most

1 significant hurdle to adoption, I think everyone
2 knows that. It's the very reason why rebate
3 programs exist in many states for high efficiency
4 products.

5 Low cost, but good performing products
6 with CRIs of 80 and 65 and above lumens per watt
7 products are flying off the shelves in stores
8 nationwide. They're typically priced in the
9 \$5.00 range and in 2014, over 18 million CRI 80
10 lamps were sold in the U.S., alone.

11 At the same time, the sale of CFL
12 products has slowed dramatically as customers
13 show a clear preference for led bulbs. It's
14 obvious in the market that the conversion to SSL
15 and away from incandescent halogen and CFL
16 products is occurring rapidly, and the mistakes
17 that hindered CFL adoption are not being
18 repeated. This is being clearly articulated by
19 the DOE in recent reports where the led adoption
20 rate is almost a factor of 50 times faster than
21 CFL was in a similar stage of its product
22 lifecycle. Given the radical market shift
23 voluntarily towards led products, we're extremely
24 concerned that over regulation may slow the
25 adoption of led products and greatly reduce the

1 amount of actual energy savings it's possible to
2 achieve with more reasonable Standards.

3 The CEC should not be mandating high
4 performance as a state minimum, only to increase
5 the primary obstacle to adoption, i.e. cost. The
6 high end commercial SSL products which feature
7 the high degree of color performance advocated by
8 the CEC are not selling in large quantities
9 because they are highly specialized and very
10 expensive. Their higher price is not due to
11 economies of scale, it's due to very expensive
12 subcomponents, mostly RGB W chips and other
13 features.

14 The Staff Report's analysis is inadequate
15 and simplistic. Claims of efficacy and product
16 cost being uncorrelated are simplistic and
17 neglect the value of the brands and perceived
18 quality levels to name but two factors. The cost
19 conclusion sites some preceding paragraphs in the
20 Staff Report which note that design changes and
21 additional components are likely to be needed to
22 meet the proposed specification with added costs,
23 but then goes on to dismiss significant cost
24 adders of as much as 20 or 30 percent, as likely
25 to be swept under the carpet due to market

1 competition. This is absurd. Adding 20 percent
2 to a bulb cost for a CRI 90 is not doing to help
3 market adoption. The biggest driver of the
4 massive adoption rate of led bulbs to date has
5 been the rapid decline in the cost price. As led
6 bulb prices approach those of halogen and CFLs,
7 i.e. a few dollars, all cost adders are
8 significant. Case in point, and I'm not sure how
9 many people are aware of this: a major home
10 improvement retailer is selling LED lamps for
11 \$.99 today. Now, they're not ENERGY STAR
12 compliant, but the point is when you can see
13 they're getting down to that price level, it's
14 crazy to be suggesting adding a dollar to the
15 lamp to put another bad LED in. The lamps will
16 take off and sell when the cost gets down to
17 where it needs to be to compete with the
18 incumbent technologies.

19 So additionally, the cost analysis is
20 largely based on price trends of entry level CRI
21 80 lamps, whose performance does not come close
22 to the 45-day performance requirements. As such,
23 the cost analysis has not been done on
24 representative products. High performance
25 commercial grade products more accurately reflect

1 all the 45-day performance requirements. So the
2 cost analyses should start with them.

3 As previously stated, relaxing the R8
4 requirement from 72 to greater than 50 will allow
5 many CRI 80 products to be sold in California.
6 These products are typically 15 to 20 percent
7 more efficient than the CRI counterparts and are
8 lower cost. This will help the adoption rate and
9 will greatly impact the overall energy savings.
10 This would be one of the best things the CEC
11 could do to help the state meet its energy
12 requirements.

13 We are struggling to understand the logic
14 and energy saving benefits resulting from the
15 timing of the implementation of these Standards,
16 which will significantly reduce the availability
17 of led lamps in the market in 2017, while the
18 sale and supply of halogen and CFL lamps
19 continues unaffected. Surely this is not what
20 the CEC intended -- promotion of less efficient
21 products at the expense of more efficient
22 products.

23 We believe the overall effect, while
24 unintended, of the proposed regulations will in
25 fact slow the adoption of led products and

1 greatly reduce the amount of actual energy
2 savings it's possible to achieve with more
3 reasonable Standards.

4 Now I'd just like to move on and address
5 a couple of other points which haven't been
6 brought up so far. Analysis based on the ENERGY
7 STAR qualified product list shows on average
8 decorative lamps are about nine lumens per watt
9 less efficient than Omni-directional lamps, and
10 we'll provide data to support that with our
11 comments. If you go into that and you look at
12 the top 25 percent, so we'll just shoot for the
13 best products, the numbers between Omni and
14 decorative are the same from the point of view
15 that Omni-directional is about nine lumens per
16 watt more efficient. Now, we do acknowledge
17 that, say, filament led LED decorative lamps have
18 high efficacies, but they're typically not
19 dimmable, which is a very important feature for
20 decorative lamps in most applications. So based
21 on our analysis, in order to ensure accurate,
22 adequate, and reasonable product availability of
23 dimmable decorative LED lamps, we would propose
24 that a separate compliance score for decorative
25 lamps be 267 and 287 for Tier 1 and Tier 2,

1 respectively, versus 277 and 297 for Omni-
2 directional lamps. So in essence, we would like
3 to see the decorative lamps given a 10 LPW
4 reduction in requirement.

5 Finally, I'd just like to talk about LM
6 84 and TM 28. The rule proposes to use LM 84 and
7 TM 28 to measure and project the lumen
8 maintenance of integrated led lamps. The
9 lighting industry globally currently uses LM 80
10 and TM 21 for measuring and projecting the lumen
11 maintenance of led lamps. LM 84 is relatively
12 new and hasn't received wide industry adoption.
13 Changing current practice to follow LM 84 and TM
14 28 exclusively would place additional financial
15 burden on the industry and delay certification of
16 products unnecessarily. The net effect would be
17 to stifle innovation.

18 Led chips are typically not released
19 until TM 21 data is available for a given model.
20 The time to test lamps against LM 84, even though
21 the TM 21 data are known, would add months to the
22 product innovation and certification cycle and
23 would require end product testing of every single
24 model which uses the LED, which represents an
25 astronomical increase in testing costs over

1 current practice.

2 LM 80, TM 21 testing has the advantage
3 that the results for given LED may be used for
4 all of the products which use that LED with only
5 an additional in situ led case temperature
6 measurement being required for each individual
7 lamp using that LED to support the lifetime
8 rating.

9 One important item that LM 84 does not
10 account for is the tremendous rate of change of
11 led development and how that in turn affects the
12 product development lifecycle. Consensus among
13 NEMA members is that the cycle time for new lamp
14 design is six to eight months, and manufacturers
15 have the difficult task of keeping up with led
16 innovation during product development and market
17 introduction. Manufacturers are the experts of
18 their particular designs and need to have an
19 option to be able to change critical components
20 like the LED chip in a short period of time,
21 without having to conduct system-level testing
22 for three or 6,000 hours for every single model
23 that uses the same LED.

24 The ENERGY STAR Lamps Program, for
25 example, allows product changes including LEDs

1 which gives manufacturers the needed flexibility
2 to make changes from a high level without having
3 to repeat all system-level testing.

4 So to summarize, LM 84 is relatively new,
5 at this time manufacture experience with it is
6 low, and it may not deliver any better results
7 for predicting lumen maintenance than the current
8 incumbent procedures of LM 80 and TM 21.

9 Finally, although LM 84 and TM 28 are not
10 in common use, there may be early adopters that
11 wish to use those Standards, thus NEMA proposes
12 that the CEC allow manufacturers to test and
13 certify using either LM 80 and TM 21, or LM 84
14 and TM 28, at the manufacturer's discretion until
15 such time as the industry has gained sufficient
16 familiarity with the new Standards so this issue
17 can be reevaluated and a more informed decision
18 made about which Standards are best.

19 So in conclusion, we're very concerned
20 that the scope of the current proposals as
21 written are so broad and the various requirements
22 taken together are so high that if enacted
23 without revision it will fail to achieve these
24 goals. Instead, we believe that the overall
25 effect, while unintended, will in fact slow the

1 adoption of LED products and greatly reduce the
2 amount of actual energy savings that is possible
3 to achieve with more reasonable Standards. Thank
4 you.

5 MR. SINGH: Thank you, Dr. Woodward.
6 Next commenter is Cheryl English from Acuity
7 Lighting.

8 MS. ENGLISH: Good morning. I'm Cheryl
9 English with Acuity Brands Lighting. We're a
10 manufacturer of Luminaires and control equipment
11 with multiple manufacturers here in California.
12 I appreciate the Commission's interest in
13 promoting energy efficiency and lighting quality
14 market adoption. I think that's really the goal
15 of everyone here, and we're here to support that.

16 I'm here to talk about two specific items
17 in this Title 20 hearing, the first one being
18 conflicting recommendations between Title 20 and
19 Title 24 JA8 requirements. The second topic I'll
20 talk about is related to the screw base LED
21 downlight retrofits. So I'll start out with the
22 first topic of Title 20 versus Title 24 JA8.

23 There are many products that have been
24 scoped into this Title 20 hearing that are
25 covered also in the Title 24 JA8, but with

1 distinctively different requirements. I
2 appreciate that Title 20 is a restriction on the
3 sale of products in California regardless of
4 whether that's new construction or retrofit
5 consumer use, while Title 24 is a building
6 standard.

7 When JA8 was first introduced in Title
8 24, we expressed concerns with regard to the
9 inclusion in an Applications Standard or a
10 Performance Standard of the very proscriptive
11 requirements of JA8 that restrict product,
12 because that is really not the goal of Title 24.
13 We're now facing a situation where there are
14 conflicting requirements between Title 20 and
15 Title 24, and the interrelationship of these
16 requirements does not appear to have been studied
17 in the Title 20 Technical or Cost Analysis. So I
18 recommend that the CEC evaluate and resolve the
19 conflicting requirements between these two
20 different Standards.

21 I will also add that the products that we
22 sell, we sell based on different grade products,
23 so cost versus quality of product. We do not
24 distinguish different products for retail off the
25 shelf sales versus new construction. We allow

1 the consumers to choose the price point and the
2 quality of the product that they want. So we
3 wouldn't be designing one product for Title 20 in
4 a different product for Title 24, that's just not
5 the way the construction market works.

6 In the case of retrofit screw-based
7 downlights, these are products, as Dave briefly
8 mentioned earlier, that are designed, they're not
9 Omni-directional, they are incorporated with
10 specific shielding and reflectors to direct the
11 light in specific areas. They consist of
12 products that have different aperture size. They
13 may also have baffles or lenses. The lens may
14 actually be recessed slightly above the ceiling,
15 and all these criteria are designed to reduce
16 glare. And so because of the concern on
17 promoting quality products, glare is a major
18 consideration to consumers, especially for
19 downlights. So the products that have a recess
20 or a baffle or a thicker lens to shield the
21 individual discrete LEDs are the products that
22 are preferred by the marketplace and the tradeoff
23 is in the energy efficiency. These products do
24 not perform at the same lumens per watt level as
25 a product that would just have a think straight

1 lens that's flush with the ceiling and no
2 baffles.

3 These products, we were unaware that they
4 were originally included in the scope of this
5 particular rulemaking because this rulemaking is
6 general service lamps. This particular product
7 is commonly recognized in the marketplace and by
8 Federal Standards as a Luminaire because it does
9 incorporate a light source and reflectors.

10 The ENERGY STAR program recognizes this
11 as a Luminaire and the California Voluntary
12 Quality Spec has the performance for this product
13 referencing residential and commercial downlight
14 luminaires. So the Commission itself recognizes
15 these as luminaires in other standards. There's
16 no mention in the Title 20 staff report for this
17 class of product other than the inclusion in the
18 definition and a picture on a slide in the
19 presentation. I found no evidence that the study
20 conducted analyzed this class of product. An
21 analysis of the performance and cost must be
22 conducted before the Commission can set an
23 additional standard or elevated requirements
24 beyond those already described in Title
25 24(J)(a)(viii). Very recently after we

1 discovered this was included in the scope,
2 manufacturers evaluated over 40 models of this
3 particular class of product. None of these LED
4 screw-based downlights meet the proposed
5 requirements, the performance not even close to
6 meeting the performance of this class of product.
7 The compliance score of the models that we
8 studied was at least 21 percent lower than those
9 proposed and as much as 33 percent lower. The
10 ones that were 33 percent lower represent the
11 ones that have better glare control. They also
12 did not meet the DUV requirements, although we
13 haven't had a chance since the DUV revision was
14 just posted late last night, we haven't
15 reevaluated that and we believe that that will
16 help meet that requirement, not all of the
17 products, but some of the products may meet, but
18 they still will not meet the compliance score and
19 many will not meet the lumens per watt and will
20 compromise the glare quality control of these
21 products.

22 Due to the late date in this rulemaking,
23 we recommend that this class of product be
24 removed from the scope because we do not believe
25 within the timeframe that you described at the

1 beginning of this particular workshop these can
2 be effectively evaluated in terms of the
3 technical and cost criteria, and we look forward
4 to reevaluating and working with you on this
5 particular class of product in the future. Thank
6 you.

7 MR. SINGH: Thank you, Cheryl. You know,
8 I'd like to mention that there's no conflict
9 between Title 20 and Title 24 products, but we
10 will provide a detailed response in our Final
11 Statement of Reasons when we evaluate your
12 comments.

13 The last commenter is Alex Boesenberg
14 from NEMA.

15 MR. BOESENBERG: First I'd beg everyone's
16 indulgence, I may read slower than I usually
17 would and a little less flowingly. I got my
18 seasonal sinus infection yesterday morning when I
19 woke up, but I'll do my best.

20 So I think as most of you know, I'm Alex
21 Boesenberg. I am the Manager of Regulatory
22 Affairs for the National Electrical
23 Manufacturer's Association. I represent all of
24 the persons there who preceded me, starting with
25 Mark Lien, as well as numerous other NEMA member

1 companies who manufacture and sell in the
2 lighting sector.

3 We want to thank the Commission for
4 acknowledging the concerns we expressed regarding
5 color consistency, we noted the change in the
6 presentation to the DUV equation, and as we've
7 noted we're going to go back and examine that and
8 get a better picture of how well our products can
9 do in terms of meeting that requirement. But I
10 want to say that that was not an isolated error.
11 Unfortunately, the proposal has numerous errors
12 caused by a combination of factors such as a lack
13 of statistically significant datasets, a pattern
14 of not, I'll say, honoring industry comments
15 given the weight they have based on their
16 experience and their technical expertise, you
17 know, they're the ones who design these products
18 and know what they can and can't do. And the
19 well detailed focus on what are at times
20 arbitrary quality metrics because there have not
21 been the necessary studies to be sure that what
22 can be measured should be measured.

23 We agree with having minimal
24 requirements, everyone agrees that there's a need
25 to protect the marketplace and consumer

1 satisfaction from poor quality, but at the same
2 time a minimum spec is very different from a high
3 performance specification and too much of the
4 proposal pushes into the high performance area,
5 and I don't need to belabor it, I think my
6 members did a pretty good job already. So as
7 you've heard, we have many concerns.

8 And so to talk about datasets and things
9 like that, and where the data is being gathered
10 from, over the past two years during the proposal
11 development process, the Commission and those
12 doing the analysis have built up a view of the
13 performance of LED lamps using a very small
14 amount of data, and at times with small sample
15 sets. And the hazard in failing to use
16 statistically significant sample sizes or lot-to-
17 lot purchasing, for instance, is that you can get
18 a misinterpreted view of the capabilities of mass
19 manufacture to meet a consistency level or always
20 exceed a threshold level reliably.

21 I'll give two examples. One, we know
22 that a lot of folks have looked at the database
23 for the DOE's LED Lighting Facts Program
24 regarding the expressed and claimed performance
25 capabilities there. This database, while

1 extensive, is very rarely swept and updated.
2 Data, once it's in there, can often stay for a
3 long time and some of the data itself is suspect
4 if you look at something like the LM 79 tests
5 that are posted there. That's something that was
6 tested once, but then the lamp enters mass
7 manufacture, and then you get production
8 variation that can significantly, or at least
9 noticeably change. And there are tolerances
10 granted by DOE for the Lighting Facts label that
11 are not part of the tolerance ranges in this
12 proposal.

13 Another example would be the more recent
14 studies done -- oh, he's not here now -- done at
15 CLTC, wherever Michael Siminovitch is, where they
16 examined up to 26 different lamp types and up to
17 10 samples of each, but not always 10 samples of
18 each. Ten is not a very big number. And in that
19 data, while it's very interesting to look at the
20 CRI variations and the efficiency variations
21 among those lamps, those were all purchased off
22 the shelf, so they're a single lot of
23 manufacture, they don't represent the widespread
24 variance that can happen as manufactures source
25 their components for multiple vendors and combine

1 those to make a product. So if you look at the
2 CRI capabilities in there, you say, "Oh, look, we
3 see lots of stuff that comes above 82 CRI, even
4 though it says 80 on the package, and so why
5 don't we make the minimum CRI 82 in the spec?"
6 Well, the reason they're at 82.4, 82.7, is
7 because they want to be sure through an annual
8 variation of manufacture they're always above 80
9 because, as we all know, there will begin to be
10 Title 20 enforcement and fines levied against
11 those who fail to meet the minimums and no one
12 wants to be the next iRobot and having to pay a
13 \$1 million fine here. So, yeah, we can hit 82,
14 but if it tells you have to hit 82, we have to
15 design 84. And it's all about giving an
16 acceptable amount of variation because those
17 economies of scale everyone is counting on, if
18 you're going to mass manufacture you have to
19 over-design. Something taken in a snapshot may
20 well have been a good day and perform quite well,
21 but it's not indicative of its siblings made at
22 another factory even though it's the same design,
23 different components, different day, different
24 people. So we're concerned that things like this
25 can result in inconsistencies or misunderstanding

1 of what's capable.

2 So besides fixing the technical
3 feasibility of the proposal, there's also gaps in
4 considerations that have to be made relative to
5 scope. Mr. Gatto spoke at length on that, I
6 won't belabor it, but as he mentioned during the
7 follow-up question, we are doing our best to put
8 a matrix together of what the different lamp
9 types and offerings on the market are, and where
10 we know based on our product offerings or
11 awareness of other manufacturers' product
12 offerings, there simply is not or we are not
13 aware of any LED alternatives there. We know
14 that's important because, as is printed right on
15 the front of the building, the Warren-Alquist Act
16 says that, as we understand it, that a product
17 has to be available on the day of adoption that
18 meets the requirements. And if there is no LED
19 offering in some Small Diameter particular beam
20 shape MR lamp, then there isn't one.

21 I think there's been an assumption during
22 the proposal development analysis process that if
23 there's a lamp that doesn't look too different
24 from it, then it's a simple matter to adapt and
25 simply offer that in the new base type or beam

1 shape. If that were so simple, then they really
2 would be there already. There's reasons why they
3 are not offered, it's not just market demand, but
4 also technical feasibility.

5 Something no one has mentioned is the
6 fact that a lot of these incandescent sources
7 you're trying to offset are in fixtures that are
8 tightly enclosed. They are enclosed to protect
9 the consumer from a high degree of heat that
10 comes off of a halogen lamp. That same amount of
11 insulation that protects the exterior of it will
12 also retain the heat generated by the LED that it
13 needs to express and get away from so that it
14 doesn't bake itself. So there's a hazard that
15 the LED lamps, if they fit into a lot of these
16 specialty fixtures will not survive very long.
17 We don't know what that is because it's not a
18 sector that NEMA is deeply involved in; we've
19 asked the American Lighting Association to
20 comment if they can on it. But it's one of those
21 things that does stand to reason, but as I said
22 we're going to focus on just what's available and
23 where the offerings are.

24 Sorry, bear with me here. I'll speak to
25 Dr. Whitehead's comments. The good news is we

1 are improving color rendering. We're getting
2 away from CFLs which have a color rendering of
3 somewhere in the 70s, so 80, 82, because we over-
4 design, is an improvement. It could be as much
5 as 10 points. And that is noticeable, and people
6 do like it. The hazard of increasing cost, as
7 Dr. Woodward shared, is that if cost becomes a
8 problem at the point of purchase, they're going
9 to buy a CFL. CFL is covered by Federal
10 Regulation, it's going to stay in the California
11 market until such time as the DOE phases it out
12 and the indications are they're not phasing it
13 out this time around, so it could be many many
14 years. And so people will be attracted to CFLs
15 if they are in a budget-minded consciousness.
16 And the physical, the performance requirements
17 require that the LEDs be expensive, so I won't
18 belabor that, you've heard it. But the damage of
19 that is it could force the market adoption
20 backwards.

21 I'm trying to get NEMA data released
22 early because I'm told the third quarter this
23 year shows an uptick in adoption. Again, those
24 are the more affordable products. If we can
25 share it, we'll share it as soon as we can, and

1 if I can share it in time for this proceeding, I
2 will.

3 I talked about that... Mark Lien
4 mentioned it, I'll mention it again, the
5 California Lighting Technology Center is an
6 excellent source of analysis and we've seen in
7 the past year the EPIC solicitations have drifted
8 away from things where, you know, lighting folks
9 sort of think it's finished, we think there's a
10 lot of work left to do, we've mentioned there's a
11 lot of consumer satisfaction analysis that can be
12 done and we think it would be great if CEC
13 solicited that sort of stuff in EPIC, so that
14 CLTC and others could bid on it and continue this
15 analysis because, you know, this doesn't have to
16 be the last time we have a rulemaking for these
17 products. And we want the next one to be as
18 well-informed as possible.

19 So I talked about the cost debtors... So
20 what we've tried to do here today is not just
21 criticize, but suggest that there's alternatives
22 where tweaks or relaxations in the stringency
23 could enable the products that are available
24 today to continue to be made available January 1,
25 2016. One of the reasons why that's important

1 is, if the redesign of a product is essential to
2 its compliance, you know, to make sure there's
3 adequate availability for competition and choice,
4 the challenge there is because of the long
5 testing timelines required for LED lamps, the
6 lifetime testing can take as long as six months.
7 If you back up from January 1st with the
8 Administrative Reporting time, the test time, and
9 everything else, you're arriving around May of
10 2016, that's five months away. So a lamp that
11 wants to be available and assure that the
12 prediction is true that, yes, there will be
13 something that meets this January 1st, 2016, for
14 that to be true, that lamp has to enter testing
15 in five months from today. We all know that
16 Thanksgiving is coming, and then there's
17 Christmas, so these are kind of a bust, and so
18 the work doesn't start until January, not in
19 earnest. So it's a very tight timeline and we
20 don't want to delay the January 1, 2017 date,
21 that's not our goal today. The goal is that we
22 set a list of requirements that can be achieved
23 in time of May if they have to enter testing, so
24 that again is part of the basis of the reason for
25 our suggestions and relaxation of certain

1 parameters.

2 And so I think I'll conclude there.

3 Thank you very much.

4 MR. SINGH: Thank you, Alex. One of the
5 things I like to mention here is that starting
6 January 1, 2018, California 45 lumen watts'
7 standard will kick in, and that would mean the
8 incandescent lamps will not be sold in the market
9 in California. And in 2020, the Federal 45
10 lumens standard will kick in, or they may do a
11 better standard for the incandescent lamps. So
12 having that, the lamps are going to disappear
13 from the market, so we have looked into very
14 thoughtfully and analyzed in detail having what
15 the future is going to be, so the proposed
16 Regulations are well thought looking into the
17 future, and also to provide the consumer a
18 replacement that is going to be, if not equal to
19 incandescent, at least very close to it. So
20 that's where we have come up with this proposal.
21 So you know, that's what I would like to mention
22 here. But now I'm going to have the next round
23 of my cards, which the first commenter is Mary
24 from PG&E, Mary Anderson.

25 MS. ANDERSON: Hello. Thank you for the

1 opportunity to participate in this important
2 rulemaking on behalf of the California IOUs.

3 We are supportive of the CEC's proposal
4 to set minimum performance and quality
5 requirements for LEDs. As with CFLs, an initial
6 sales surge will not transform a market. Low
7 product prices are not sufficient. Product
8 performance is important to customer acceptance
9 and complete market transformation. LED
10 performance has dramatically improved over the
11 last few years. The market has responded to the
12 CEC's 2012 Voluntary LED Quality Specifications
13 with a steady stream of wonderful products, at
14 increasingly low prices and improving efficacy,
15 lamps with extremely high color rendering index,
16 with great dimming capabilities and long life.

17 The California IOU Rebate Programs have
18 been supportive of these programs for the last
19 two years. While the CEC's voluntary
20 specification and the associated rebates helped
21 incentivize high performing products, it cannot
22 prevent products that don't render colors well,
23 that flicker or buzz when dimmed, that mislead
24 consumers with their packaging from undercutting
25 the high quality products.

1 Another recent trend in the LED market is
2 a race to the bottom in terms of product quality
3 and performance, with manufacturers value
4 engineering wherever possible and competing on
5 price alone for early market share and early
6 adopters. These products may be reasonable
7 replacement for CFLs, but they don't provide the
8 level of service and amenity needed to compete
9 with incandescent lamp performance and fully
10 transform the market. The CEC's Title 20
11 proposal goes a long way towards preventing
12 products like this from poisoning the well and
13 reducing customer confidence in LEDs, similar to
14 what happened with CFLs.

15 The proposed Standard does not require
16 lamps to be the best in class. It isn't as
17 stringent as the CEC's voluntary specification or
18 the California IOUs' proposals, but it does
19 require a solid foundation for minimum
20 performance and establishes a level playing field
21 upon which manufacturers can compete.

22 We want to commend the CEC for its work
23 with all parties to get to this point. The CEC
24 made several compromises throughout the
25 rulemaking in response to stakeholder input, and

1 we believe the proposed standard represents a
2 good middle ground that we are willing to
3 support.

4 With LEDs, we can have high efficacy and
5 great performance, as well, if we ask for it.
6 This rulemaking is California's opportunity to
7 drive this market transformation. If California
8 can convert the remaining 50 percent of sockets
9 that still have low efficacy sources in them to
10 LEDs, the annual statewide savings would be on
11 the order of 30,000 gigawatt hours, which is
12 sufficient to achieve the state's AB 1109 goals
13 in one fell swoop.

14 We appreciate the opportunity to
15 participate and look forward to continuing to
16 support the CEC in this important cause. Thank
17 you.

18 MR. SINGH: Thank you, Mary, for your
19 comments. The next commenter is Gary Fernstrom,
20 Consultant, PG&E.

21 MR. FERNSTROM: Thank you. I am Gary
22 Fernstrom, retired from PG&E and currently
23 working as a consultant for it. And I've
24 represented PG&E and the California utilities at
25 various CEC and Department of Energy rulemakings

1 over the last 15 years.

2 As Lorne Whitehead did -- and by the way,
3 in consideration of his perspective on color, I'm
4 wearing my R9 shirt this morning -- I'd like to
5 make a brief statement and a couple of points.
6 In my experience in these 15 years of rulemaking,
7 I have again and again heard industry and
8 individual manufacturers make the statement that
9 products are not available, that it can't be
10 done, that it's too expensive, and that consumers
11 really don't want it. And time and time again,
12 after rules have come into effect, I've seen
13 compliant products come into the market to
14 consumers' delight at reasonable price points.
15 So if we're to use history as an example,
16 products can be made that serve consumers' needs,
17 that work better than expected, and cost less
18 than is represented.

19 The second point I'd like to make is a
20 few years ago when I had the opportunity I bought
21 one of the Philips L-prize lamps. I still use it
22 at home, it's probably going to last well in
23 excess of 20,000 hours, and it does all the
24 things we're talking about here. It may not be
25 advantageous from a lighting industry business

1 perspective, but the reality is that these
2 performance criteria that we have recommended,
3 which the Commission has compromised on, can be
4 done. I have the proof in my very own home.
5 Thank you.

6 MR. SINGH: Thank you, Gary. Now we have
7 Aurelien David from SORAA.

8 MR. DAVID: Thank you. Aurelien David.
9 I'm Chief Scientist at SORAA. SORAA is a
10 manufacturer of LED chips and lamps based in
11 Fremont, California, and we do R&D and
12 manufacturing here.

13 I've been doing R&D on LEDs for 14 years
14 and I feel that expertise are efficiency and
15 color science. So before I complain, I'd like to
16 congratulate the CEC for some of the features in
17 this proposal, especially the tradeoff between
18 efficiency and CRI, which I'm happy to see in
19 here. And I think the idea behind that is this
20 regulation should not prevent manufacturers from
21 making high quality products right, there is a
22 tradeoff between efficiency and quality, and you
23 should be able to take the level of quality in
24 full. That is very much in line with SORAA's
25 approach, which is to make high quality products

1 because we believe in some fields high quality is
2 instrumental for adoption.

3 And so that brings me to my concerns with
4 the proposal, which is there are many other
5 aspects of quality in an LED product beyond CRI
6 which are not really being considered by this
7 proposal, and the worry is considering the high
8 levels of efficacy in some of these scenarios, it
9 will be hard to maintain other aspects of
10 quality. So I'm going to take one specific
11 example. Let's think about a spot lamp, a 10-
12 degree spot lamp. I have a very nice lamp which
13 has a good beam pattern, everybody likes it. But
14 come January '17, it doesn't meet the spec, it's
15 a few lumens per watt below spec. The easiest
16 way for me to make it meet spec is to go back and
17 degrade my optic in order to add lumens in the
18 scale of the beam, okay? So that's going to
19 boost lumens per watt a lot. It's also going to
20 make for a worse lamp which has more glare.
21 That's bad, right? Consumers don't want that.
22 But again, if that's the only thing I can do to
23 meet spec, I'm going to do that. Now, is that a
24 good thing for adoption? Probably not. And the
25 lumens per watt may have increased, but that's

1 really artificial because you're putting lumens
2 where you don't want them.

3 I think to some extent the CEC recognizes
4 this tradeoff because there are two proposals,
5 one is for MR-16 essentially, or Small Diameter
6 Directional, and then there's another spec for
7 everything else. So I think there is some level
8 of understanding that Directional light is more
9 difficult to achieve than diffused light. But I
10 think to some extent the CEC dropped the ball in
11 the middle by putting in the same bag A lamps, BR
12 lamps, and power lamps, which have very different
13 technical challenges. And to be clear, it is
14 more difficult to be efficient in the power lamp
15 than in an A lamp just because of these beam
16 quality aspects.

17 Shortly, I'll mention other aspects of
18 quality which are not being talked about here,
19 flicker and other aspects of color rendering such
20 as deep red and whiteness. Again, by skimping on
21 these by making an LED with a bad driver which
22 has more flicker, and by having poor red
23 rendering, it is easy to improve lumens per watt
24 by five, 10 percent, and sometimes more. That's
25 probably not a good thing in terms of product

1 quality and in terms of adoption.

2 So at the end of the day, the risk for us
3 is the following, right? If we're faced with
4 having products that don't meet these limits in a
5 year, we may have to make the choice of lowering
6 other aspects of quality which are not being
7 monitored by this proposal, so that we pass the
8 spec. We'd rather not do that. So my suggestion
9 is that there be more classes of products in the
10 limits, specifically I think there should be a
11 directional large lamp limit which is in between
12 Small Diameter Directional and Diffuse Lamp to
13 recognize the fact that there are aspects of
14 quality that haven't been taken into account, and
15 to give us more wiggle room to include those.
16 Thank you.

17 MR. SINGH: Thank you, Aurelien. Next
18 commenter is Nancy Anton, she is public.

19 MS. ANTON: Good afternoon. My name is
20 Nancy Anton. I'm here as a consumer, it's kind
21 of interesting to me that there's no one else
22 that's taken that role. And I will say, as a
23 consumer, if you are looking for more consumer
24 input, it was very difficult and took a lot of
25 work to find my way here, and I'm happy to give

1 you some feedback about that, but maybe you don't
2 want more consumer input.

3 Anyhow, I would like you guys to hear
4 from me how you can help me as a consumer and
5 I've recently had a lot of frustration with
6 lighting related to a home remodeling project and
7 I've become more of an expert than I wanted to
8 be, and I wanted to share some of that experience
9 to help you guide some of the decisions you make.

10 Regarding LED lighting and a little about
11 me, I'm an energy nut, I don't have a Prius, I
12 ride a bicycle, I use light rail, I worked for
13 the Legislature for over 25 years. I'm currently
14 a Governor Appointee on other commissions, I'm
15 familiar with rulemaking, and regulations, and
16 legal requirements, although not in this area.

17 I go to buy lights for my house and the
18 first thing I encountered, I'm not always price
19 driven, that is important and I'm sure the
20 manufacturers know that, but I also am willing to
21 spend more to get the product I want and also to
22 generate energy savings. I sometimes wonder if
23 the cost and price point is overrated. I looked
24 the array in specialty lighting stores, as well
25 as big box stores of lighting options, and I was

1 nearly overwhelmed. I bought some fixtures that
2 said LED because my understanding is that's the
3 way to go. And I found out there are two
4 different -- in fact, I may not be right, this is
5 what I think I've learned -- two different ways
6 to go with LED, I can buy an LED bulb and
7 retrofit an existing fixture, or I could buy a
8 fixture that said LED. I didn't understand that,
9 so I generally went for an LED fixture assuming
10 it was more energy savings, I don't know if
11 that's true. I certainly had many more fewer
12 options. And I get home and the Electrician
13 installs the fixture, which I then learned meant
14 it's no longer returnable because it's now been
15 installed, and I discover that this fixture
16 doesn't take bulbs, it comes with a built-in --
17 you guys must know the technical terms -- right,
18 which means when this fixture doesn't work, I
19 throw it away. I don't know what the costs of
20 that are. When I hear the discussion about cost,
21 I don't get to replace this fixture with a \$3.00
22 on sale bulb or a \$9.00 not on sale bulb, I have
23 to get rid of the whole fixture, which to me I
24 thought was kind of a bargain price at about
25 \$30.00, but I didn't realize I have to throw it

1 away when it ceases working. It says it will be
2 10 years, and experience I have with a compact
3 fluorescent that was installed five years ago was
4 it stopped working, although I don't know what
5 the guarantee is because, really, do you keep
6 warranties for your light bulbs? I barely keep
7 them for my big appliances.

8 So I asked my son to take that light bulb
9 out. In the process, I'm going to come back to
10 that example, I'm going to stick with the bulbs
11 or the built-ins. So now I have a \$30.00 light
12 fixture that when it goes, I throw it away. We
13 also bought a ceiling fan, again, I didn't
14 understand the difference, it also has that kind
15 of integrated light, once it's installed it's not
16 returnable, it's much more expensive than \$30.00.
17 The light comes on, and it's not exactly the
18 color we care for. We can't change it. There
19 are no other bulb options and we can't return it
20 because it's been installed. And this has a 10-
21 year guarantee. We would likely keep the
22 warranty because it's expensive. When that light
23 component doesn't work, what are the chances 10
24 years from now that I will be able to get a
25 replacement for it? Everybody says zero. Some

1 friends have said, "Oh, go buy another one now
2 and save it for 10 years so that you don't have
3 to throw out the entire working fan because the
4 light component no longer works." So making a
5 distinction for consumers when it's a bulb and
6 when it's an integrated feature is essential.
7 And I kind of consider myself, which is possibly
8 wrong, on the higher end of the care about energy
9 and certainly educated, and I'm baffled. And I
10 totally have missed this twice.

11 Other things I didn't understand that I
12 care about is, is it instant "on?" I had no idea
13 that the \$30.00 fixture, you flip the switch,
14 nothing happens, you count to two and then it
15 comes on. Is that normal? Is that a feature of
16 LEDs? All of my LEDs don't do that. I don't
17 know. There was nothing that said there's a
18 delay "on" and there's nothing I can do about it
19 now because the fixture once installed is not
20 returnable. So that wasn't made clear on the
21 packaging.

22 I have no idea why I would pick CFL over
23 LED as a consumer. In fact, I thought CFLs were
24 being phased out, but listening today it sounds
25 like they aren't. I also understand CFLs -- this

1 may not be right -- have more led, so I gear
2 towards LEDs which I think don't, but I could be
3 wrong. And if I don't know, I guarantee you
4 consumers don't know. And again, there's no
5 consumers here informing you, except me, that's
6 quite a burden.

7 I also think generally CFLs are much
8 slower to come on, they light up, but then it
9 takes time for them to get brighter, and LEDs
10 don't appear to do that, except for this new
11 fixture that comes on all at once after you wait
12 two seconds.

13 Also confusing to me, some say "okay
14 damp," so that means it can be in a bathroom, the
15 other ones can't be in a bathroom? In the
16 kitchen? Outside? I've no idea.

17 I am a person who cares about color, I
18 understand some people don't, I do. I don't have
19 any way of knowing what the color is until I turn
20 the light on. With the bulb, if you're careful
21 with the packaging and depending where you get
22 it, if you don't like it, you can return it,
23 otherwise I don't know the coloring until I turn
24 it on. And some bulbs, you know the kind of
25 packaging I'm talking about, you have to destroy

1 it to get the bulb out. And if it's a light
2 fixture that contains the component and is
3 installed, I don't know the quality of the light
4 until it's on. I don't know how you address
5 this, some kind of rating system that lets a
6 consumer know relatively what it's like versus
7 incandescent or an independent scale; if
8 incandescent is going to be phased out, let's
9 have a scale that informs people.

10 I like dimmable lights. I don't
11 understand why, although I've had an electrician
12 tell me this, I don't know if it's correct, why
13 some of mine flicker and why some of mine make
14 noise. I was told it has to be a dimmable
15 compatible light. So now I look for bulbs that
16 say "dimmable." But then I learned some of those
17 still make noise and flicker. And then I found
18 out, oh, you need to have a dimmable compatible
19 switch. Well, that's a whole other kettle of
20 fish to find one and that requires an Electrician
21 to install. Now we've got a different price
22 point. None of that is made clear to me as a
23 consumer, that when I take this dimmable bulb
24 home, it is not going to perform to my
25 satisfaction, or that I'm buying a bulb that

1 won't even dim.

2 I wanted to make a comment about my term,
3 what I call projected, the longevity, the
4 technical viability. We had a home remodel
5 project about five years ago and at that time we
6 had to put in compact fluorescent bulbs that have
7 either two or three pins, and what I gather is
8 these are history now. But I have these fixtures
9 that only take them. And the other part of them,
10 I guess not having overtaken the market, is that
11 when I asked my son to change the light bulb,
12 which stopped performing well before when it
13 should have, he, which I thought was reasonable,
14 and he's college educated, which could be the
15 problem, he unscrewed it. Well, as you know, a
16 bulb with pins doesn't unscrew, it's kind of
17 hard, so he turned it really hard. Well, what do
18 you think happened? It broke. So now I have a
19 fixture that doesn't work at all because the pins
20 are stuck in it, and I didn't even know or
21 realize from five years ago that this was a pin
22 fixture. There's nothing that indicates to an
23 average person, I presume an Electrician might
24 know, that when you want to change this bulb
25 hanging down that looks like a compact

1 fluorescent, it's got pins and not a screw base.
2 I don't know how you let people know that, but
3 for all the pinned bulbs that were sold and
4 installed, and I was told we were required to put
5 those fixtures in, when those bulbs go, I think
6 there's a good chance that people are going to
7 try to unscrew them because there's no way to
8 know, there's nothing that looks different about
9 it.

10 There's another term I have that it may
11 or may not be related exclusively to LED, but
12 certainly to lighting, and it's what I call
13 asleep lighting. So I have a little frustration,
14 I hope I'm not -- I'm very happy with our
15 television monitor, it's a Vizio, and when you
16 turn it off, the name Vizio lights up, it's on
17 24/7. When we're not home, it is advertising to
18 my couch that it's a Vizio. It's advertising
19 that to us and I know that. I'm sure someone
20 will say that it uses an infinitesimally tiny
21 amount of electricity. I wonder when you add all
22 that up, what does that amount to? And the
23 message it sends, it sends the message to my kids
24 and to their friends that it's okay to have
25 lights on. Our new dishwasher, it has a nifty

1 little sign after you run it that says "Clean."
2 So when I run the dishwasher before I go to bed
3 at night, that "Clean" sign stays on all night
4 long when nobody is in the kitchen and needs to
5 know. And when I go to work, it's on all day
6 long because I tend to run it as I'm leaving the
7 kitchen, and when I go on vacation, run those
8 dishes so they'll be clean when I get back? It's
9 on for weeks. I would certainly consider do you
10 need to address that these should just be
11 prohibited? What is the value of them?
12 Particularly the ones that advertise their name.

13 The last thing I would suggest, based on
14 other aspects, more with my experience with Title
15 24, is whatever direction you go, consider can
16 one size fit all? My experience in a different
17 area of law is the answer is generally no. So
18 having an appeals process, or a method where
19 exemptions can be granted, I think is extremely
20 important. Allow for expected unintended
21 consequences and a way to be able to deal with
22 them without wringing your hands and going, "We
23 have to wait until the next rulemaking process.
24 We have to go back through OAL, it's too big a
25 process." Have a method where you can stay

1 nimble and you can stay flexible, and that as
2 technology changes in the future, is LED going to
3 be it, the two-pin and the three pins weren't,
4 that you can be nimble and respond and so can
5 consumers. And I'm happy to give you examples if
6 you want more consumer input about how I think
7 you might better be able to reach people. Thank
8 you very much.

9 MR. SINGH: Thank you, Mary (*Sic*).

10 MS. ANTON: Nancy.

11 MR. SINGH: You know, we usually put FAQs
12 online, these are good questions that you have
13 made here in the comments, and we look into it
14 and see if we can address through some of your
15 concerns through FAQs. Also, our Proposed
16 Regulations address dimmability, flicker, and
17 warranty we have no authority on that, so we
18 looked into it, but it's not one of our
19 authorities here to work on the warranty part of
20 it. But we mentioned rated life for these
21 products, lifetime 10,000 hours for general
22 purpose lamps, and 25,000 for the Small Diameter
23 Directional Lamps.

24 But anyway, you mentioned about the TV,
25 it's not in the lighting, but you can turn it

1 off, actually, the Vizio, there is in the manual
2 an option to turn it off. You know, it turns on
3 for 15 seconds and then turns off by itself, but
4 you have to go in and look into the manual for
5 that. Anyway, thank you very much. And those
6 are good comments.

7 And now we have the next commenter, this
8 is Eric Bluvvas from Green Creative. I think
9 Eric. It's hard to read.

10 MR. BLUVVAS: Yes. Hi everyone. My name
11 is Eric Bluvvas and I'm with an LED Manufacturer
12 based here in California called Green Creative.
13 I'm not sure if all of you are familiar with us,
14 we are a bit smaller. And I do think it's good,
15 and I'm glad to have the opportunity to comment
16 because I have a unique perspective as a small
17 manufacturer, especially also a California-based
18 manufacturer.

19 And not that it's an excuse, but given
20 the size of our company, resources are a bit
21 constrained, so fortunately I don't have a lot of
22 sound detailed statistics or data, but I do have
23 some general comments on the overall rulemaking
24 for both of these, the General Service and the
25 Small Diameter that I wanted to get on the record

1 here, so thanks for the opportunity.

2 I think one thing that's failing to be
3 addressed is that if you pick apart any aspect of
4 the market today, yeah, there's concerns with all
5 these requirements because a lot of us, you know,
6 some of my colleagues and competitors here don't
7 have products that are going to meet that. But
8 we're not talking about today, these go in effect
9 far in advance, in fact the Small Diameter, it's
10 2018, as I understand. And although I'm not
11 specifically tied to the R&D side of things with
12 our company, it's my job to track all these
13 requirements, Codes and Standards, utility
14 requirements across the country, so I have a good
15 perspective of what the flavor is across the
16 country and even a little bit internationally,
17 and I want to say about 18 months ago some of the
18 initial proposals for the Title 20 Rulemaking, I
19 ran by our R&D folks, and you know, obviously
20 initially they balked, some of the same concerns
21 you hear from some of our competitors, but once I
22 said the timelines, they said, oh, that's not a
23 concern at all. So the underlying point I want
24 to make is that we welcome this kind of thing
25 because it is a line in the sand. And I'll

1 highlight some things, but we're there now in a
2 lot of respects, and we'll certainly be there
3 market-wide with the timelines that are proposed,
4 I think the gentleman, the PG&E consultant said
5 it best, and I'll draw a parallel to the
6 voluntary spec that's out there now, that kind of
7 proves that. I mean, once you draw that line in
8 the sand, as long as it's reasonable, and you're
9 accounting for the majority of applications and
10 whatnot, I think the market itself adjusts and
11 matches that.

12 So I do want to be clear that, as a
13 company, you know, designing quality primarily
14 screw-in and some of these Small Diameter
15 products, specializing in that and the LED space,
16 we support the spec for the most part as it, but
17 we'll try to gather resources if there's any
18 other various specific comments we have taking
19 issue with any of the detail R&D side things.
20 But on the whole we do support this. And I think
21 everything for the most part that's laid out is
22 sound science, we hold in high regard some of the
23 studies that went into this, and we appreciate
24 the fact that cost is factored in. And as an
25 example on that front, I mean, the gentleman up

1 here mentioned you now have \$.99 LEDs in the
2 store. So if that was going to be something,
3 maybe this is a non-parallel, but something
4 required two years ago, everyone in the room
5 would have balked at that. But case in point,
6 within two years the market adapted and the costs
7 have come down.

8 But what I also see is that's a great
9 motivation, but we also see a lot of lower
10 quality products being supported, you know, at
11 the utility level and on the market sign, of
12 course, it's cost driven. Consumers may have
13 different flavors or appetites, but at the core
14 it is a cost. And if there's not a line in the
15 sand, not some clear mandate, that gets thrown to
16 the wayside and you can see some poor quality
17 things go in, and I don't think that's what any
18 of us want to see.

19 You know, and I wanted to highlight in
20 terms of the product side, these are two items we
21 have today that meet the majority of these
22 applications, or the majority of the requirements
23 of these specs. So this is a Part 38 product,
24 you know, I'm not trying to plug the brand, but
25 just to show that we are there today, and there

1 is a Small Diameter product that meets the
2 majority of these requirements.

3 So in drawing a parallel with the CEC
4 spec, you know, these same debates came up with
5 the California Energy Commission proposed this
6 voluntary specification and, case in point, today
7 we are one of the first manufacturers to roll
8 these out, I'm saying the CEC spec compliant.
9 And we see a lot of our competitors follow suit
10 as there is an incentive to do so, and as the
11 market sort of requires that. So that's the type
12 of parallel we want to draw to this, is that once
13 that line in the sand is drawn, we'll see market-
14 wide, you know, catch-up with our competition.

15 And again, I wish I had more sound data
16 to back some of this up and we're going to try to
17 muster resources to do so in writing, but some of
18 the concerns that may be raised, and we're
19 hearing them today, things like a low brightness,
20 to me case in point, ENERGY STAR develops things
21 like the TM 21 measurement which requires a
22 specific center beam candle power to match, you
23 know, the given output. And for example, our MR
24 16 product hits that mark and we can claim a 75
25 Watt equivalence.

1 The point is, you know, you can pick
2 apart any number of product and show that it's
3 not there, but once you have the spec, we can
4 design around it and in our view it's not so
5 aggressive that it can't be met.

6 Other things not ready for all
7 application, there is some truth, I mean, there's
8 niche applications out there that folks are
9 highlighting this today, we're hearing this, but
10 again we stand by the fact that the market will
11 adjust for that. You know, I don't think there's
12 fundamental flaws or I don't there there's a
13 fundamental hurdle to the design aspects for some
14 of these niche applications, and they do
15 represent a small portion of the market.

16 In terms of compatibility, we welcome the
17 spec because especially in the Small Diameter
18 Space, it will be nice to have more clearly
19 defined definitions, and that's basically because
20 I think all of us want to see some uniformity and
21 more consumer confidence in the application that
22 it's going to work with everything that they
23 have, so when they install it, it does what it
24 should and what they expect it to do.

25 So unfortunately, again, I don't have a

1 lot of sound data to back all this up, but I can
2 say as a California-based manufacturer focused on
3 quality, and how we focus specific to the space
4 that these rulemakings cover, we do feel that the
5 majority of the requirements are sound within
6 reasonable -- reasonably achievable within the
7 market and if we don't draw that line in the sand
8 soon, we're going to continue to see a lot of
9 lower quality stuff kind of flood the market. So
10 that's all. Thanks.

11 MR. SINGH: Thank you, Eric. Next is
12 Noah Horowitz from NRDC.

13 MR. HOROWITZ: Good morning. I'm Noah
14 Horowitz for the Natural Resources Defense
15 Council. And I know a lot of people are hungry,
16 so I'll be brief here. I'm the Director of our
17 Center for Energy Efficiency Standards and I'm
18 here today on behalf of our more than 1.2 million
19 members and eActivists.

20 Overall, NRDC is very supportive of the
21 CEC proposal which we believe will accelerate the
22 shift to good quality, energy saving lamps. This
23 has been a long and somewhat contentious
24 rulemaking and we think the proposal you have is
25 a reasonable middle ground, and we encourage you

1 to move forward in an expeditious manner.

2 I'm going to comment on three points, one
3 is the stringency of the efficiency requirements
4 as they relate to decorative LED Lamps, which
5 have a smaller form factor; 2) I'm going to point
6 out and make a suggestion, there's a lack of
7 minimum color quality requirements for most of
8 the Small Diameter Directional Lamps, and we
9 think that's an omission; and 3) I have some
10 comments and concerns about the combination of
11 the Labeling and Reporting section and have some
12 recommendations to improve it there.

13 As a result of what you've heard today, I
14 think it makes sense for CEC to consider all the
15 input and make minor adjustments to the proposal
16 and hopefully that can only trigger -- that only
17 requires 15-day language and you could move
18 forward in a timely basis.

19 Let me start first with Decorative Lamps.
20 As the data has shown and some of the industry
21 representatives have mentioned, these lamps have
22 a much smaller form factor, think of the little
23 candelabra lamps, they're about 10 percent less
24 efficient, more or less, and our concern is if we
25 squeeze too hard here, we may have some

1 unintended consequences and provide a boost to
2 the sale of the current bulbs that are 40 watts.
3 Those 40 watt incandescent bulbs are exempt from
4 the next level of ISA depending on how that moves
5 forward, so we want to go from 40 watt bulbs down
6 to bulbs at around 10 watts, and we want to be
7 careful not to squeeze too hard or eliminate all
8 the LED options that are out there. We might be
9 forcing things only to filament type LEDs, and
10 then we've got the dimmability questions where
11 people might not like the appearance of the
12 filament LED lamp. So we encourage you to review
13 the data carefully here and, based on your
14 review, consider a slight relaxation. So if the
15 bulb is allowed to use 10 watts instead of nine
16 watts, we still think that's a win.

17 I want to move next to comments about the
18 Small Diameter Directional Lamp Specification.
19 We, too, support the establishment of minimum of
20 efficacy requirements. These will ensure that we
21 have energy saving lamps and will be phasing out
22 from the less efficient alternatives such as
23 halogens and HIR. To us, that's the prize that
24 we think everyone should be after here. We can
25 go from a lamp that used to use 45 watts down to

1 one that uses about nine watts or so. That, we
2 believe, is the primary objective and, again, we
3 need to be careful in this proceeding how far we
4 go in terms of trying to squeeze an additional
5 half watt or watt there.

6 We also want to make sure that people
7 have a decent experience and we heard a lot of
8 interesting comments from a consumer, which all
9 of us are, as well. We want to make sure it
10 doesn't fail prematurely, and you have some
11 requirements on that. And we also want to make
12 sure that bulb delivers good color experience.
13 While there's been a lot of debate how high you
14 need to go, I think everybody agrees there should
15 be a floor in terms of color quality. And the
16 way the Small Diameter specification is written
17 in terms of color quality, the only time that
18 there's a requirement is if the efficacy is
19 between 70 and 80 lumens per watt. If you're
20 above 80, then you could have a CRI of 50 if you
21 want, and I think we all agree that's not what
22 anybody wants. So our suggestion should be you
23 set a floor and one potential landing point that
24 I think you won't get objection from industry or
25 others is let's adopt what ENERGY STAR has, which

1 is a CRI of 80 and an R9, no less than zero.
2 That way we can keep the junk out of the market
3 in terms of color experience.

4 We also think this is important, while
5 two-thirds of the lamps from Harinder's data are
6 in the commercial space, about a third of them
7 are in residential. Consumers don't know
8 anything about CRI, they're going to be confused,
9 we want to make sure they're not disappointed.

10 Lastly, I want to talk about the Labeling
11 Requirements. I don't have the exact language in
12 front of me, but basically it says if you're
13 making a comparison to an incandescent lamp,
14 including wattage equivalencies, you must meet
15 the following requirements. The lamp
16 temperature, the CCT can't be more than 3,000,
17 the lamp must be dimmable, and you must meet the
18 equivalency requirements.

19 We think this construct has some
20 unintended consequences and we want to propose an
21 alternate approach for your consideration. And
22 in doing so, we want to point out that most
23 sockets are not dimmable, and by requiring adding
24 dimmability adds cost and could potentially
25 result in a less reliable product if someone puts

1 in a cheap dimming circuit that could fail.
2 While we agree most consumers prefer and want the
3 lamp that looks like the old incandescent, call
4 it 2,700 or 3,000 K, there's certain people who
5 prefer bulbs that provide a cooler experience,
6 whether it's 5,000 or 5,600 K, and sometimes
7 that's cultural or where you come from; if you
8 come from Southeast Asia, the cooler lamps are a
9 lot more common, and we don't want to prevent
10 people who want that product from being able to
11 see on the package 13 Watts equal 60 Watts. We
12 think people don't understand lumens and in this
13 transition, that sort of equivalency claim makes
14 sense, and that's a very powerful tool.

15 So in summary, we recommend the following
16 construct that I think goes to what the intention
17 of this language was, but without the unintended
18 consequences: 1) if the lamp is dimmable, it must
19 meet the dimming requirements, if it's not
20 dimmable, you must need to label it clearly on
21 the package, "Not Dimmable." That's different
22 than saying you must be dimmable if you make an
23 equivalency claim.

24 Second, if you are making an equivalency
25 claim, you know, 13 watts equal 60 watts, or

1 eight watts equal 40, then indeed you must
2 deliver an equivalent amount of light as the
3 incumbent product. There's a table in the
4 Proposed Standards, we think that table is done
5 right, and the way it should be is, if you make
6 an equivalency claim, you must hit those numbers.
7 But again, if you do make an equivalency claim,
8 that shouldn't prevent you from making an
9 equivalency claim if you're a cool temperature
10 bulb.

11 And then lastly, in terms of CCT that's
12 already on the package, it tells you if you're
13 2,700 or 5,600 K and whether you're cool or warm,
14 so we think that's addressed there. So in
15 summary, we think you're off to a great start
16 here, with a few tweaks you'll get across the
17 finish line and you have our support. Thank you.

18 MR. SINGH: Thank you, Noah. Now we move
19 to the people, stakeholders who are on the
20 telephone or on the WebEx. So Kristen, could you
21 please unmute the lines?

22 MS. DRISKELL: Yes. The first one is
23 David Maciel. I've unmuted your line.

24 MR. MACIEL: Hello. Can I be heard?

25 MS. DRISKELL: Yes.

1 MR. MACIEL: Thanks for the opportunity
2 to comment. My name is David Maciel,
3 representing Sony Electronics, as far as energy
4 efficiency is concerned. I've been doing this
5 for many years. I've been in several
6 rulemakings, including the Television Consumer
7 Audio Video Products, displays, rulemakings, and
8 now to some degree involving the lighting
9 rulemaking.

10 I would like to make two comments today,
11 one as a company representative and the other
12 one, if I may, as a consumer.

13 Going to the first one, there is some
14 concern with the Regulations. I do agree with
15 pretty much everything that Noah has said just a
16 few seconds ago, but I'd like to expand on a
17 comment made by the gentleman from GE where the
18 technology is to a point where lights are shaping
19 the way of the future. To that extent, we are
20 manufacturing and developing new products, and
21 one of them is a combination of an audio-video or
22 audio product combined with a lamp. We recently
23 contacted the Commission to enquire about whether
24 this product would be in the scope or not, and to
25 our dismay, we understood that they are in scope.

1 ENERGY STAR exempts products that offer other
2 features besides lighting in the lamp, and we
3 would like to request the Commission to either do
4 analysis, or absent the analysis exclude these
5 products from the Regulations. There are a
6 number of factors that prevent these products
7 from meeting the proposed requirements, that
8 there are some technical challenges, those being
9 mechanical and electrical that need to be
10 evaluated before saying rules for specifications
11 for these kind of products, power factor, standby
12 power, it's going to be an issue for these
13 products, so we would like to request the CEC to
14 conduct further analysis before deciding whether
15 these products are in the scope of the
16 Regulations or not.

17 The second comment as a consumer, I'd
18 like to echo a few things that Mary stated as a
19 consumer. But in fact, when I go out and buy
20 lamps, I do look at three essential factors, one
21 is price, the other one is whether the tone or
22 color of the light fits my needs, whether it's
23 warm white, natural white, or super bright white,
24 and price. Never in my life have I looked at CRI
25 and honestly I can say that it's irrelevant for

1 the average consumer. So setting specifications
2 regarding CRI, to me as a consumer, is
3 irrelevant. I believe many people do not focus
4 on that, and so I do not see the need to include
5 that on a specification. Any light bulb, any
6 lamp that consumes 13 watts or less, to me is
7 acceptable. If it consumes nine watts or less,
8 that's even better. So without further ado, I
9 would like to ask the CEC to look at the current
10 specifications. If you don't have a complete
11 analysis on everything that is on the market
12 today, please do so before publishing the final
13 language. Thank you.

14 MR. SINGH: Thank you. We can move to
15 the next.

16 MS. DRISKELL: Yeah, the next commenter
17 is Greg Merrit. Greg, you're unmuted.

18 MR. MERRIT: Okay, thank you. This is
19 Greg Merrit from Cree. I'm the Vice President of
20 Marketing and Public Affairs. For those of you
21 that may not know, Cree is a U.S.-based developer
22 of both LEDs and LED lighting products. And we
23 also have a facility in California.

24 Cree is focused on 100 percent LED
25 adoption and very key to accompany that is better

1 light experiences. There have been a number of
2 good comments previously today, so I'll amend my
3 comments to avoid being too repetitive.

4 All of the specs that are contained in
5 the 45-day language are in our opinion attainable
6 and reasonable. We believe Standards for
7 quality, not only color quality, but also dimming
8 light distribution, are very important,
9 especially going forward because, as noted, there
10 is a bum's rush to lower price, lower quality
11 bulbs going on, and I think it was characterized
12 as a race to the bottom earlier.

13 The CRI discussion, which has taken up
14 the bulk of the comments today, I think as
15 expected, I would comment on a couple of things
16 that were said. I think an RA of 50 is a
17 nonstandard to lay-up, I think the comment about
18 saturated light being preferred over fidelity is
19 valid, but I don't believe that an RA of 72 makes
20 it unavailable to have higher saturation.

21 I also very much agree with the earlier
22 comment about the use of LM 80 and TM 21 which
23 are widely accepted, and in practice versus LM 84
24 and TM 28, and would also agree with Noah's
25 comments on labeling of equivalency of bulbs that

1 use daylight CCT.

2 A further comment, several products we
3 offer on the market today meet the requirements
4 as specified, including decorative products, as
5 well as retrofit downlight products.

6 I would also say that I think the many
7 many references to the CFLs in today's discussion
8 are quite appropriate because if we allow or, in
9 fact, encourage LEDs to continue approaching CFL
10 levels of performance, we will create the same
11 levels of dissatisfaction and, I would argue,
12 market failure that the CFLs experienced.

13 I think this published language with the
14 DUV correction, and I will echo the comments
15 earlier about someone that said they worked, but
16 I think the specs as published represent a good
17 body of work and I offer my thanks to both the
18 staff and the Commission. That's all. Thank
19 you.

20 MS. DRISKELL: Okay, thank you. We had
21 one comment also through the chat box from
22 Michael Weems with American Lighting Association.
23 I'll just read it for the room: Given that many
24 of ALA's members are tied up with travel to and
25 from today's hearing and with Thanksgiving being

1 next week, he would like to request an extension
2 to the November 30th comment deadline. Having
3 additional time will enable the ALA and others to
4 respond appropriately to the CEC, especially with
5 regards to the noted changes for DUV.

6 That's all the comments I have online.

7 MR. SINGH: Oh, okay. Anyone else on the
8 phone want to make a comment, please raise their
9 hand or call in.

10 MS. DRISKELL: We have one more comment
11 from Chris Primous. Chris, you are unmuted.

12 MR. PRIMOUS: This is Chris Primous from
13 X Light. I just wanted to make a quick comment
14 regarding the Omni-Lamp Requirements, the Omni-
15 Directional Requirements for A Lamps. There's a
16 requirement that A Lamps must meet the ENERGY
17 STAR Version 1.1 Omni-Lamp Specifications, also
18 it goes on to talk about the other lamp types
19 must meet decorative requirements. I want to
20 caution on that not to tie it to an old ENERGY
21 STAR lamp specification right now, there's a new
22 one that's under revision, the 2.0 for lamps,
23 it's supposed to be implemented or finalized by
24 the end of this year, maybe the beginning of next
25 year. Also, there is a very popular new lamp

1 type called the LED Filament lamp. With regards
2 to these LED filament lamps, they are not
3 generally able to meet the Omni-Directional Beam
4 Requirements of the traditional Omni-Directional
5 type of lamps. And you know, these are very
6 popular replacements for high wattage halogen
7 lamps and also they are very efficient, actually
8 more efficacious than a lot of the Omni-Lamps
9 going on the market today, approaching levels up
10 to 130 lumens per watt. And so I would take a
11 look at those types of products and allow them to
12 meet now the decorative lamp specifications for
13 ENERGY STAR lamps and not make them have to meet
14 the Omni-Directional Lamp Beam Requirements. So
15 I would just take that into account as we look at
16 the requirements for the beams. That's it.

17 MS. DRISKELL: Okay, thank you. That, I
18 think, is officially all we have online.

19 MR. SINGH: Okay, I have one more comment
20 from Mike McGaraghan from IOUs.

21 Mr. MCGARAGHAN: Hi. Mike McGaraghan
22 representing the California Investor Owned
23 Utilities. First of all, I want to reiterate our
24 support for the proposals, but I just in addition
25 wanted to add a few comments in response to other

1 things that have come up today.

2 So the first one is just on the data that
3 went into these proposals and how reliable it is.
4 We are definitely relying on data that is out in
5 the public sphere. We relied heavily on ENERGY
6 STAR's Qualified Product List, we rely heavily on
7 Lighting Facts database, in addition to product
8 testing that we've completed that PG&E has funded
9 at the California Lighting Technology Center.

10 So one thing that we've done is to try to
11 correlate the test data to the public databases
12 to see if they match, and the good news is that
13 they tend to match very closely, and I'll give an
14 example. On the DUV, several people have
15 commented on DUV and the requirements. In the
16 Lighting Facts Database of thousands of products,
17 87 percent of them meet the DUV requirements
18 proposed by the CEC. When we tested over about
19 30 now Omni-lamps, something like 20-30 par
20 lamps, and something like 15-20 MR lamps, 87
21 percent of those also passed the DUV
22 requirements, and that is a freak coincidence, of
23 course, both numbers were 87 percent, it's not
24 always that perfect of a correlation. But the
25 point is we are extrapolating test data that we

1 have because it matches very well with publicly
2 available data, and if the consensus from the
3 industry is that this data that is publicly
4 available shouldn't be trusted, then I'd really
5 welcome them to submit other test reports and
6 data that they believe is more representative of
7 products on the market.

8 Specifically, I wanted to follow up on
9 Chris's comment just now from Max (Sic) Light.
10 Thanks, Chris, the filament lamps in particular
11 it would be great to see some data on their
12 distribution if they don't meet the true Omni
13 requirements of ENERGY STAR. So if you have data
14 that shows that, that would be really valuable to
15 the record.

16 In terms of products that meet the spec
17 or don't meet the spec, I know there was a lot of
18 confusion about the DUV values, so some people
19 today have commented that the products weren't
20 available, but that maybe if once they do the
21 analysis with the new DUV number, that will
22 change. So our analysis with the right DUV
23 numbers has shown that there are a lot of
24 products that are available, many of which have
25 great price points. They were shown in CEC's

1 graphs earlier in the presentation today, we're
2 not talking about \$2 or \$3, in many cases it's
3 \$10, \$20, \$30, or even hundreds if you count all
4 the different variations of products. So in the
5 A Lamp market, there are products from multiple
6 manufacturers, often below \$15, even below \$10,
7 and some of those are coming down it looks like
8 now \$6.00 products that meet all these
9 requirements based on all the data that we have
10 publicly available.

11 And the same is true of Directional
12 Lamps, there's a lot of products in that \$8, \$9,
13 \$10, \$11, \$12 range, that appear to meet all of
14 the requirements proposed. So, you know, from
15 the data that's out there, we're very supportive
16 of what the Commission has done, we don't think
17 you're pushing especially hard on this product
18 class. We initially came in with a proposal that
19 was much stronger on a number of things,
20 including color and other aspects, as well, start
21 time, lifetime, so we think you've ended up at a
22 good middle ground and made some really important
23 concessions along the way, or compromises with
24 industry along the way. So with that, I'll
25 conclude and just say thanks for the progress

1 that you've made here, we think you're doing a
2 lot of great work, and we're on the right track.
3 So thanks.

4 MR. SINGH: Thank you, Mike. I think we
5 have no more comments. And one thing I'd like to
6 mention is that the comment period is ending
7 November 30th for written comments. If you could
8 please submit your comments earlier, it would be
9 beneficial. Ken would like to say a few words.

10 MR. RIDER: Yeah, just a couple things
11 that I think are helpful to keep in mind while
12 commenting on this that were mentioned earlier.

13 One was, you know, conflicting 82 CRI
14 versus 72 individual color score. You know, I
15 worked on this proposal; one of the things is
16 when studying individual color score proposal,
17 the question came up, "Why even have a minimum
18 CRI? You've kind of got it set." So for a while
19 the proposal had no minimum CRI, then after some
20 discussion, you know, about whether a 75, you
21 know, the very neat thing about LEDs is how you
22 can engineer very precisely some of the spectrum.

23 So is a 72 CRI lamp with just the worse
24 colors across every color acceptable? Maybe not.
25 So that's where the 82 CRI, that's why it

1 persisted, it wasn't to be inconsistent, it was
2 just, you know, keeping an overall error minimum
3 while focusing on single color errors, as well,
4 so that's why. I mean, that was the thought
5 process and how the 82 -- it wasn't to be tricky
6 between the two, it was really the process I
7 described.

8 We also had some discussion today about
9 the test methodologies for life and how they may
10 be using some of the newer test procedures. The
11 reason for that is to align with the DOE proposed
12 test procedure.

13 I just wanted to make sure that everyone
14 clearly understands that what we took and
15 proposed in the Regulations is the proposal at
16 the Federal level, and when that Federal test
17 procedure is finalized, that will be the
18 California test procedure regardless of what was
19 used or how we adjust to the comments here.

20 So we were hoping to be as close as
21 possible to minimize any changes to the test
22 procedure.

23 We've gone through changes to test
24 procedures in televisions recently, you know, the
25 differences require re-testing, and that's why we

1 wanted to be as close as possible to minimize and
2 make sure that the data had transferred over just
3 -- I mean, your comments are still valid and
4 interesting, I just want to make sure that
5 everyone has that context when developing
6 comments, I think it's important to understand
7 kind of the driving factor for making that
8 choice. I just wanted to add those two things.
9 Yes?

10 UNIDENTIFIED AUDIENCE SPEAKER: If the
11 DOE does something different, will you adopt what
12 they --?

13 MR. RIDER: Yes. It happens
14 automatically through operation of preemption.
15 So we wanted to be as clear as we could be about
16 what we are expecting and make sure our Standards
17 align with the test procedures that are at DOE.

18 Any small tweaks made at the Department
19 of Energy and, you know, we have Legal up here,
20 too, if I'm saying something wrong, but I believe
21 it happens automatically, and then we will also
22 go make sure it actually changes in our language.
23 We have cleanup rulemakings essentially on an
24 annual basis because so many things change.

25 MR. SINGH: Thank you. That concludes

1 our hearing and thank you for coming and
2 participating. Looking forward to look at your
3 written comments. Thank you.

4 MR. SAXTON: Thanks, everyone, for your
5 participation.

6 (Whereupon, at 1:09 p.m., the hearing was
7 adjourned.)

8 --oOo--


9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of December, 2015.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of December, 2015.



Karen Cutler
Certified Transcriber
AAERT No. CET**D-723