

## DOCKETED

<b>Docket Number:</b>	15-IEPR-10
<b>Project Title:</b>	Transportation
<b>TN #:</b>	207133
<b>Document Title:</b>	Transcript of 11/24/15 Workshop Re: Revised Transportation Energy Demand Forecasts
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	12/28/2015 11:54:03 AM
<b>Docketed Date:</b>	12/28/2015

CALIFORNIA ENERGY COMMISSION

STAFF WORKSHOP

In the Matter of:	) Docket No.
	) 15-IEPR-10
	)
2015 Integrated Energy Policy	) WORKSHOP Re: Revised
Report (2015 IEPR)	) Transportation Energy
<hr/>	) Demand Forecasts

CALIFORNIA ENERGY COMMISSION

THE WARREN-ALQUIST STATE ENERGY BUILDING

ART ROSENFELD HEARING ROOM

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

TUESDAY, NOVEMBER 24, 2015

10:00 A.M.

Reported By: Peter Petty

*CALIFORNIA REPORTING, LLC*

*52 Longwood Drive, San Rafael, California 94901 (415) 457-4417*

## APPEARANCES

### Commissioners Present

Andrew McAllister, Lead Commissioner, 2015 IEPR  
Janea Scott, Lead Commissioner, Transportation  
Robert Weisenmiller, Chair

### Staff Present

Heather Raitt, IEPR Program Manager  
Shawn Pittard, Public Adviser's Office

### Panel Presenters (\* Via telephone and/or WebEx)

Elise Brown, Demand Analysis Office  
Aniss Bahreinian, Demand Analysis Office  
Marshall Miller, Aspen Environmental Group  
Jesse Gage, Demand Analysis Office  
Bob McBride, Demand Analysis Office

### Public Comment

Joshua Cunningham, CARB

# I N D E X

	<u>Page</u>
Introduction	
Heather Raitt, IEPR Program Manager	5
Opening Comments	
Commissioner Andrew McAllister, Lead Commissioner, Energy Commission	6
Commissioner Janea Scott, Lead Commissioner for Transportation	8
Introduction of Transportation Energy Forecasting	9
Elise Brown, Manager, Demand Analysis Office, Energy Commission	
Transportation Electrification	10
Aniss Bahreinian, Transportation Energy Demand Forecasting Unit, Energy Commission	
Off-Road Transportation Electrification	38
Marshall Miller, Aspen Environmental Group	
Forecast of California's Light Duty Vehicle Fleet	55
Jesse Gage, Transportation Energy Demand Forecasting Unit, Energy Commission	

I N D E X (Cont.)

	<u>Page</u>
Forecast of California's Medium and Heavy Duty Fleet	61
Bob McBride, Transportation Energy Demand Forecasting Unit, Energy Commission	
Transportation Energy Fuel Demand Forecasts	74
Aniss Bahreinian, Transportation Energy Demand Forecasting Unit, Energy Commission	
Public Comments	35, 89
Closing Comments	92
Next Steps	94
Adjourn	94
Court Reporter's Certification	95
Transcriber's Certification	96

1 P R O C E E D I N G S

2 November 24, 2015 10:06 a.m.

3 MS. RAITT: So good morning. Welcome everyone to  
4 today's IEPR Workshop, Commissioner Workshop on the Revised  
5 Transportation Energy Demand Forecasts. I am Heather  
6 Raitt, the Manager for the IEPR.

7 A few housekeeping items, there's restrooms in  
8 the Atrium. There's a snack room on the second floor. If  
9 there's an emergency and we need to evacuate the building,  
10 please follow the staff across the street to Roosevelt  
11 Park.

12 Today's workshop is being broadcast through our  
13 WebEx conferencing system and parties should be aware that  
14 you're being recorded. We'll post a WebEx recording in a  
15 few days and a written transcript in about a month.

16 We're planning to have presentations from staff  
17 through the lunch hour and then take public comments.  
18 We'll be limiting comments to three minutes per person and  
19 take comments first from those in the room. And if you  
20 would like to comment, please give our Public Adviser  
21 Shawn Pittard a blue card.

22 Then we'll move on to those on the WebEx. Please  
23 use the chat function to tell our WebEx Coordinator that  
24 you'd like to make a comment during the public comment  
25 period. And then we'll take the phone-in only comments

1 after that.

2 Materials for the meeting are available at the  
3 entrance to the hearing room and also posted on our  
4 website. They weren't posted until just recently, so if  
5 you looked earlier they should be there now.

6 Written comments are welcome and they are due on  
7 December 8th and the Notice provides information about how  
8 to submit comments.

9 And with that, I'll turn it over to the  
10 Commissioners. Thank you.

11 COMMISSIONER MCALLISTER: Great. Well thanks,  
12 Heather.

13 Okay. We are taking another step in the  
14 inexorable march towards finalizing the IEPR. And I want  
15 to thank everybody for being here. I'm Andrew McAllister,  
16 the Lead IEPR Commissioner and on Energy Efficiency. And  
17 pleased to be joined with the Lead Commissioner on  
18 Transportation, Commissioner Scott. And really looking  
19 forward to hearing about the progress that we've made with  
20 the Revised Transportation Energy Forecast.

21 So I think those of you who are here, and  
22 probably on the phone, are well-schooled in where we are  
23 and what's happened before, and what the plan is. So I  
24 won't recap any of that, but just to say that as we -- I  
25 want to just highlight the importance of this, because I

1 think the IEPR and really the policy environment in general  
2 is a complex landscape, lots of pieces of the puzzle. And  
3 what we're, I think, working mightily on across the  
4 agencies and certainly within this agency is making sure  
5 that all the pieces fit together.

6 And the transportation energy forecast is really  
7 a key part of that, which sort of in some ways you might  
8 say it's kind of modest now, because of the actual numbers  
9 today are a small part of energy demand. But we know, and  
10 certainly policy is directing us to follow this path. We  
11 know that its impact and its role within not just  
12 electricity, but also natural gas and energy policy, in  
13 general, is only going to get bigger. And it's going to  
14 get bigger fast.

15 So transportation, obviously, is the biggest  
16 single piece of the climate problem in terms of emissions.  
17 And obviously, it's California -- a lot of vehicle miles  
18 traveled. And so manipulating or encouraging that sector  
19 to shift to lower carbon solutions is no mean feat. And so  
20 it's a big challenge. I think we're up to it and we're  
21 seeing a lot of incredible developments in the marketplace  
22 that are really indicating that it's happening now.

23 So getting a handle on all the uncertainties  
24 there and how quickly and how much and what ways it's going  
25 to accelerate is really important. And so I think the



1 Demand Forecast and the team obviously is aware of these  
2 challenges and issues and working hard to encompass them in  
3 the analysis. So I want to thank the team and I really  
4 appreciate all of your effort, looking forward to hearing  
5 what you all have to say. Thanks.

6 So Commissioner Scott?

7 COMMISSIONER SCOTT: Thank you, Commissioner  
8 McAllister. Good morning, everyone.

9 I'm Commissioner Janea Scott. I'm Lead on  
10 Transportation and I would just kind of highlight what  
11 Commissioner McAllister said about all the pieces fitting  
12 together and the natural gas system, the transportation  
13 system, and our electricity system are all starting to --  
14 maybe blend is too strong of a word -- but converge on one  
15 another as electricity starts to fuel our cars as we have  
16 more natural gas fueling our vehicle as well.

17 So I'm very much looking forward to seeing the  
18 revised forecast today. And I'll also highlight, as  
19 Commissioner McAllister did, the role that transportation  
20 plays in energy demand across our state. It is an  
21 important component and transitioning to the zero emission  
22 solutions and cleaner forms of fuel and transportation is  
23 going to be a big component for California in meeting both  
24 its clean air goals and its climate goals. So the role  
25 that transportation plays can't be understated.

1           So I will stop there and look forward to this  
2 morning's presentations.

3           MS. RAITT: First is Elise Brown.

4           MS. BROWN: Good morning, Commissioners.

5           I just want to introduce myself. I'm relatively  
6 new to the Commission. My name's Elise Brown. I'm the  
7 Manager of the Demand Analysis Office, which is part of the  
8 Energy Assessment's Division. For those of you that are  
9 unaware of what DAO or Demand Analysis Office does, we do  
10 the Demand Forecast for natural gas, electricity and also  
11 transportation energy.

12           Today we'll be presenting the results from the  
13 revised transportation forecast. I have to thank staff;  
14 they've done an incredible job. There's been a few  
15 challenges along the way and they've worked very hard and  
16 diligently to get to this point.

17           I just want to walk people through the agenda.  
18 We're going to start off with Aniss Bahreinian's  
19 presentation. She'll introduce the six different demand  
20 cases that were modeled and then move into transportation  
21 electrification.

22           That will be followed by a presentation from  
23 Marshall Miller with UC Davis on off-road transportation.  
24 And when I first heard off-road I think of ATVs -- maybe  
25 that's just being from Utah -- but it actually means things

1 like ports and forklifts, etcetera.

2 Then we'll move on to the light-duty vehicle  
3 forecast presented by Jesse Gage where there's a lot of  
4 action, so look forward to that.

5 And then the medium and heavy-duty forecast from  
6 Bob McBride and then Aniss will summarize some major  
7 findings of the Forecasts in the end.

8 I do want to mention that we do have a staff  
9 report that is working its way through the publication  
10 process at the Energy Commission at this time. And it is  
11 not available yet, but it will be soon. And I'll be  
12 noticed by the Listserv. So keep an eye out for that.  
13 There'll be a public comment period for that as well.

14 So to keep us on time I'm going to turn this over  
15 to Aniss Bahreinian

16 MS. BAHREINIAN: Good morning staff,  
17 Commissioners, and staff from our sister agencies and the  
18 stakeholders. We are very happy to have you here on this  
19 Thanksgiving weekend when we gave up on all hopes to have  
20 anybody in this room, but it seems like we have a lot of  
21 interest in this topic.

22 So what I'm going to do today is start out the  
23 presentations with a discussion of transportation  
24 electrification. We will first have a brief introduction  
25 to the models used at CEC to forecast electricity demand,

1 natural gas and electricity demand followed by a brief  
2 overview of different scenarios that we have designed for  
3 this forecast.

4 Then we are going to move to a brief discussion  
5 of what is typically considered as transportation  
6 electrification and the on-road, off-road distinction.

7 And then we end it in this presentation by  
8 discussion of -- a more specific discussion to then present  
9 assumptions that we have used to forecast zero emission  
10 vehicles. And we'll present a PEV demand forecast here,  
11 which will be later presented in more detail by Jess Gage.

12 Energy demand forecasting models at the  
13 Commission is composed of a number of different models. We  
14 are putting transportation energy demand here first,  
15 because we have bias towards our unit, not for any other  
16 reasons. Transportation energy demand accounts for all  
17 energy use for movement of people and goods by fuel type.  
18 So it is important to note that when we are forecasting  
19 transportation energy demand, we are forecasting it for all  
20 fuel types and for all sectors of transportation.

21 The off-road accounts for diesel and gasoline  
22 used in off-road applications of moving or stationary  
23 equipment, in different sectors of the economy, so  
24 sometimes we refer to that as off-road transportation  
25 electrification.

1           I just want to make it clear that traditionally  
2 energy -- well because we are in transportation and because  
3 we are talking about gasoline and diesel these two fuels  
4 cannot be accounted by any other unit like electricity or  
5 natural gas, and therefore we have to account for it. So  
6 whether or not it is used in transportation, we have been  
7 traditionally accounting for it. That's why the burden  
8 falls on us to talk about the electrification of all these  
9 off-road equipment, even if they are not used in  
10 transportation sector.

11           TCU or transportation, communication and  
12 utilities is another model at the Energy Commission that  
13 accounts for mostly stationary use of power in these  
14 sectors. The sectors include transportation, communication  
15 and utilities.

16           Commercial, industrial and agricultural -- these  
17 are three different demand models at the Demand Analysis  
18 Office that makes an attempt to forecast or generates  
19 forecasts for electricity and natural gas in these sectors.  
20 As we are going to see later, some of the off-road energy  
21 falls into these three sectors.

22           Residential is another big electricity user and  
23 so we also have a model for residential sector in the  
24 Demand Analysis Office that generates demand for  
25 electricity and natural gas for households.

1           For this IEPR we have generated six different  
2 demand cases. The first three that you see, what we refer  
3 to generally across different offices and units at the CEC,  
4 we call them common demand cases. We call them common  
5 demand cases, because we all use the same input data and we  
6 define these scenarios in the same way. That's why we call  
7 it common demand cases.

8           We have a high-energy demand case. And as you  
9 can see here, the high-energy demand case uses high income  
10 and population plus low energy prices. And when we say low  
11 energy prices we mean low energy prices across the board.  
12 That is electricity, gasoline, diesel, natural gas,  
13 hydrogen, etcetera.

14           For this particular -- for the revised forecast  
15 we are also making some changes as we are going to get into  
16 more detail later, so we are including two other inputs.  
17 One is preferences and the other one is the vehicle price,  
18 which is one of a number of light-duty vehicle attributes  
19 that we use in generating forecasts for transportation.

20           So in the high case, in the high energy demand  
21 case, we are also using what we refer to as high  
22 preferences for ZEV. And as we will detail later, what we  
23 mean by this is that we're increasing consumer preferences  
24 for ZEV vehicles over time in this scenario.

25           In the low energy demand case what we do is to

1 use, again all of us across the office, Demand Analysis  
2 Office, we all use low income and low population. When it  
3 comes to energy prices however, we all use high energy  
4 prices. Again, this is high energy prices for all fuels.  
5 That means petroleum fuels, natural gas, hydrogen, and  
6 electricity.

7           When it comes to light-duty vehicles, in the low  
8 energy demand case we make no change in consumer  
9 preferences, keep them the same constant at their 2013  
10 level, which was obtained by the survey we completed in  
11 2013. When it comes to vehicle prices, in this case we are  
12 keeping their ZEV vehicle prices high in this case. So no  
13 attempt is made in this particular case to meet the ZEV  
14 Mandate.

15           In the mid energy demand case we are, of course,  
16 using mid value of everything. But also when it comes to  
17 preferences we are going to use high preferences for ZEV.  
18 And when it comes to vehicle prices, we are going to use a  
19 price path that we call it Transition 2050. We will detail  
20 that later in the presentation. Now, these are the common  
21 demand cases that are used across the Demand Analysis  
22 Office and actually the Supply Analysis Office as well.  
23 You find them the same way.

24           We also have -- traditionally we were part of  
25 Fuels and Transportation Unit. And one of the purposes of

1 these forecasts is actually for planning. For instance,  
2 utilities may be using our forecast or demand analysis  
3 forecast for planning purposes. Likewise the ports may  
4 also have to do planning. For instance, how much storage  
5 do they need for petroleum that is imported into these  
6 ports?

7           So traditionally what we have had, we have had  
8 two cases. I mean, up to 2011 we have been generating two  
9 demand forecasts in Transportation Energy Forecasting Unit  
10 or we call it TEFU. One was high petroleum demand and the  
11 other one was low petroleum demand. As you can see here,  
12 in the high petroleum demand, like all the other demand  
13 cases we are using high income and high population.

14           But when it comes to liquid prices notice that  
15 the fuel prices next to each other, we exchanged the high  
16 and the low with each other in the high and the low  
17 petroleum. So in the high petroleum demand case we are  
18 using low petroleum fuel prices, but high natural gas  
19 hydrogen and electricity prices.

20           In the low petroleum demand case, we do the  
21 reverse. We are using low natural gas electricity and  
22 hydrogen prices, but high liquid prices -- liquid fuel  
23 prices -- which is basically petroleum fuel prices.

24           When it comes to income and population, like all  
25 the other low demand cases we are using low population and



1 income.

2           Finally, for this IEPR we have added a sixth  
3 scenario. We call it high alternative fuel and vehicle  
4 demand or high AFV. The difference here is that in this  
5 case notice that almost everything else is the same as the  
6 low petroleum demand case except for income and population.  
7 So in this case, we typically, as you are going to see  
8 later in the workshop, we generally generate the highest  
9 number of alternative fuels and vehicles. So we use high  
10 income and population for the high AFV demand case.

11           When it comes to transportation electrification  
12 this is a slide that we used in February of last year. We  
13 divided them into on-road and off-road. For the on-road we  
14 have the personal vehicles when it comes to  
15 electrification. We have public transit, urban and high-  
16 speed rail and we have goods movement and activity trucks.

17           When it comes to off-road we are talking about  
18 mostly stationary use of petroleum fuels such as gasoline  
19 and diesel for port power, for airport power, and for other  
20 equipments that are used at the ports, sea ports or  
21 airports or other activities such as agricultural. There  
22 are a lot of equipment in agriculture that use diesel, for  
23 instance.

24           And there's a lot of equipment that are not  
25 consistently registered with DMV data. So we have this

1 uncertainty about the registration with DVM data, some do  
2 and some don't, like forklifts. We can't say that we have  
3 those numbers with 100 percent accuracy, so we put all of  
4 those into off-road category.

5           So whenever people talk about transportation  
6 electrification they typically refer to the use of  
7 electricity in on-road and off-road movement of people and  
8 goods. And as we have discussed already, the on-road  
9 includes light-duty vehicles. And this presentation is  
10 going to have a focus at the end on the light-duty  
11 vehicles. Marshall Miller of UC Davis is going to discuss  
12 the off-road applications.

13           So what are the plug-in electric vehicles? Plug-  
14 in electric vehicles typically refer to PHEVs, plug-in  
15 hybrid electric vehicles, and battery electric vehicles.  
16 These are prominent in electrification, so a big chunk of  
17 transportation electrification happens with PEVs.

18           The electrification also applies to NEVs or  
19 neighborhood electric vehicles, but in this forecast we  
20 treat NEVs separately. We have a separate growth model,  
21 because mostly they are not allowed really on the highways,  
22 because of the speed limit that they have. And it is not  
23 so much of a choice for the household between an NEV versus  
24 a light-duty vehicle that we define as everything else.

25           Most of the PEV scenarios discuss or focus on

1 light-duty vehicles, so again to the exclusion of NEV. And  
2 one of the reasons we have a focus on PEVs is because we  
3 have our own behavioral models that allow substitution  
4 between vehicles of all the different fuel types. And we  
5 use our behavioral models to generate these forecasts,  
6 which are actually quite detailed.

7           The key inputs that drive PEV demand are vehicle  
8 prices, fuel prices, fuel economy, range which is more  
9 sensitive for PEVs, incentives -- that is government  
10 incentives -- but as we have seen in a case of a lot of the  
11 vehicles you also have private sector incentives where they  
12 would offer discounts on different vehicles in order to  
13 take them off the lot. So you also have those.

14           We have consumer preferences that play an  
15 important role and we have the choices of vehicle class,  
16 which is kind of often overlooked by a lot of people. And  
17 we are going to discuss that later: choice of vehicle class  
18 and models.

19           We have generated a preliminary demand forecast  
20 and many of you were present in our previous workshops, so  
21 the question is what is different in the revised forecast?  
22 In the revised forecast as opposed to having just one  
23 scenario, which is what we used to have for vehicle prices  
24 we now have three different scenarios for vehicle prices.  
25 We also have three different scenarios for makes and

1 models. And we have included two scenarios for range.

2 When it comes to consumer preferences in the  
3 preliminary forecast we only had one scenario. We kept  
4 everything constant. In this case for the revised forecast  
5 we have two scenarios: one in which we keep preferences  
6 constant over time and another one where we increase  
7 preferences. So what we have done in this forecast, we  
8 have added more input scenarios that are more favorable to  
9 ZEV vehicles in the mid and the high demand cases.

10 Zero emission vehicles in the three common energy  
11 demand cases are defined in this manner. So notice again,  
12 this is in a way related to the previous slide on the six  
13 scenarios, except that we are becoming a little bit more  
14 specific here.

15 In the high energy demand, as we discussed  
16 already, you're using high income and population. You're  
17 using low energy prices for everything, for all energy  
18 forms. We have high ZEV preferences and what that means is  
19 that we are increasing preferences for zero emission  
20 vehicles. And I want to emphasize that zero emission  
21 vehicles also include plug-in electric vehicles, PEVs. So  
22 whatever applies to ZEV also applies to PEVs.

23 Now, in the high energy demand case our ZEV  
24 prices converge with gasoline prices in 2030. So we make  
25 our ZEV vehicles be the same price as a gasoline vehicle

1 price in every class of vehicle where they are available by  
2 2030.

3 In the mid energy demand case we have mid income  
4 and population and energy prices. We are going to continue  
5 the same high ZEV references that we use in the high demand  
6 case. The difference here is that the ZEV vehicle prices  
7 converge with gasoline prices in the mid case also, but not  
8 in 2030. Rather in 2050, so we have a slower decline rate  
9 in ZEV vehicle prices in the mid demand case compared to  
10 the high demand case.

11 In the low energy demand we are using low income  
12 and population, high energy prices for all forms of energy,  
13 low ZEV preferences which basically means we are keeping  
14 the preferences constant at their 2013 level. But when it  
15 comes to ZEV vehicle prices we are starting out with the  
16 actual prices in 2014, but we are keeping the price  
17 increments of ZEVs over the gasoline vehicle constant over  
18 the entire period.

19 So we assume that there is no technology changes  
20 resulting in a decline in ZEV vehicle prices. This is only  
21 an assumption. So do we have any grounds to say that there  
22 are increasing preferences for ZEV vehicles or for PEVs?  
23 We have more data on PEVs than we have on FCVs. As you can  
24 see here the line before the last one, which is hydrogen,  
25 we have almost 0 percent of vehicles that are in a

1 commercial market that are FCVs by 2014.

2 But we have more penetration of electric and  
3 plug-in hybrid electric vehicles. As you can see here  
4 between 2011 and 2014 there is a growing share of these  
5 vehicles. So there is an increase in the percentage in the  
6 penetration of these vehicles.

7 Is this all related to consumer preferences? Not  
8 necessarily, not all of it is related to consumer  
9 preferences, because there are all these factors that could  
10 claim to consumer choice, but we can't confidently say that  
11 consumer preferences definitely have something to do with  
12 it. There has been an increase in consumer acceptance of  
13 PEVs over time, over this period of time even as the  
14 incentives have been working their way out in the market.

15 Notice also, just for clarification, I just put  
16 down the new vehicle sales in the last row and that is  
17 important, because the more new vehicles we sell the the  
18 more of the new technologies are going to enter the market.

19 As you can see here, the new vehicle sales are  
20 going up from almost a million in 2010 to a little over 2  
21 million in 2014. So there is definitely growth in the new  
22 vehicle sales, which is related to a number of factors  
23 including the vehicle turnover, economy and other factors.  
24 So even with the growing new vehicles sales, still the  
25 share of the PEVs has been growing in the market indicating

1   that consumers are gaining more acceptance of these  
2   vehicles.

3               So is there grounds for increasing consumer  
4   preferences. I would say yes. Exactly how much should we  
5   increase them, I can't answer that, but we simulated  
6   something that would take us closer to meeting the ZEV  
7   requirements. I should also add that keeping them constant  
8   over time is also arbitrium, but that's what we have been  
9   doing over the last several IEPRs.

10              So why are we lowering the prices for ZEV  
11   vehicles? In a sense, we were inspired by National  
12   Research Council's 2013 study that came to the conclusion  
13   -- including over 50 field experts coming to the conclusion  
14   that retail price equivalents are required to get closer to  
15   the gasoline vehicles if they are going to make transition  
16   to alternative fuel vehicles. That was their conclusion.

17              So as you can see here --

18              COMMISSIONER MCALLISTER: Aniss, can I ask you a  
19   quick question if I could?

20              MS. BAHREINIAN: Sure.

21              COMMISSIONER MCALLISTER: Could you go back to  
22   the previous slide there? So I guess I'm not expecting you  
23   to have looked at this issue in detail, but I think it's  
24   worth pointing out that given the Volkswagen scandal it  
25   turns out that there are some technical issues with getting

1 high-performance diesel engines that are clean enough to  
2 meet our Emission Standards generally.

3 And I guess I'm wondering if staff has thought  
4 about what that might mean for the -- you know, it's only  
5 2.5 percent here in 2014. But to the extent that people  
6 are looking for alternatives that sort of give them that  
7 package of attributes that are both clean and performance  
8 and high performance, how do you think that might play out  
9 in the marketplace going forward?

10 It seems like it might actually impact -- to the  
11 extent that we might've been thinking that diesel was going  
12 to accelerate in terms of its adoption that may not now be  
13 the case. But I guess it depends on the technology  
14 development that the manufacturers were able to do, but it  
15 doesn't look very positive at the moment, right?

16 MS. BAHREINIAN: But you're absolutely right, it  
17 came kind of later in our forecast cycle, so we haven't  
18 really accommodated that per se. But as you can see here  
19 when it comes to light-duty diesel doesn't really have a  
20 big share of the market anyway, so it's a smaller share.  
21 It has been increasing, but a smaller share of the market.

22 From what really I have read in different  
23 articles, it seems like the manufacturers are actually  
24 responding to that themselves. Like Volkswagen, I heard  
25 that they are actually turning to some of the EV -- they're



1 turning to the EV technologies. So it seems like it kind  
2 of has expedited manufacturers' response to these by  
3 producing more EVs, making them available on the market.

4 COMMISSIONER MCALLISTER: I guess I'm looking at  
5 the use of the table. This is a great table, lots of food  
6 for thought in this table. But if you look at hybrid,  
7 diesel, plug-in hybrid, and electric and you add all those  
8 up that's over 10 percent: 3, 4, 5, right so that's like 12  
9 percent. That's pretty amazing actually. I mean, that's  
10 not even close to the majority, but 1 in 10 is now -- those  
11 are real numbers and you can imagine really scaling up from  
12 that pretty quickly.

13 And so if you sort of assume that individuals are  
14 buying these vehicles, because it has -- you know, they can  
15 have their cake and eat it too. And that they can have  
16 good performance as they define it, but also have a feeling  
17 that they're clean and they're responding to sort of the  
18 sustainability attributes as well.

19 You know, I think a lot of people bought these  
20 diesels, because of that package of attributes and they got  
21 50 miles to the gallon, right? So they're feeling a little  
22 defrauded and we all know people who had -- my sister and  
23 my mother both have those Jetta Wagons. And people are  
24 taking it personally and so I think that may actually help  
25 kind of the cultural case to move towards alternative fuel

1 vehicles of all types. So I mean, I'm hopeful about that,  
2 I guess, I don't really know.

3 But in any case I think it's really heartening  
4 that over 10 percent have some of the sustainability  
5 attributes. And it's growing.

6 MS. BAHREINIAN: I should also add that in some  
7 of the studies that have been completed by UC Davis and  
8 others, they have noticed that the people who are tuning  
9 into EVs and PHEVs are actually those who own hybrid  
10 vehicles. So there could also be a movement from hybrid  
11 into EVs and PHEVs or into ZEV vehicles in general. So  
12 even if there is a decline, for instance in that category,  
13 that could be made up by increasing the ZEV vehicles. So  
14 there are all kinds of substitutions that take place.

15 (Coughs) Excuse me. Just for everybody here, I'm  
16 not communicable. (Laughter)

17 COMMISSIONER MCALLISTER: So bring that woman  
18 Mucinex. That's what I thought.

19 MS. BAHREINIAN: Yes, I did. We did that too and  
20 it is helping.

21 So this from the NRC study, and actually also  
22 displayed by David Greene in some of his work on  
23 transitioning to AFVs in California. The NRC study was a  
24 national study and David Greene also used this and he made  
25 a presentation in 2014 at the Energy Commission.

1           As you can see here -- notice number one, that  
2 this is for passenger cars -- NRC used a model that is  
3 called a LAVE-Trans Model. And the LAVE-Trans Model  
4 basically has low resolution when it come to vehicle  
5 classes. They basically have passenger cars versus light-  
6 duty trucks. Now, I'm mentioning this, because in our  
7 model we have 15 different classes of vehicle total for  
8 passenger cars and light-duty.

9           So Sierra Research also used LAVE-Trans both in  
10 2013 and in 2015 IEPR. And they used that model to project  
11 some of the attributes and then they ended up breaking it  
12 down into different vehicle classes for us, because it is  
13 not immediately transferable from one model to another  
14 model.

15           As you can see here, the prices -- first of all  
16 notice these are the 2009 dollars, not the 2013 dollar  
17 because the study was completed a while ago. And they  
18 noticed that BEVs in this graph have the highest prices.  
19 They have the highest prices. FCV has a lower price than  
20 BEVs. We know that the current market condition actually  
21 says otherwise, so what we have done this is just a guide.  
22 As you can see here, the prices would converge  
23 approximately around 2050.

24           What we have done, we started with the actual  
25 market prices in 2014. And we are using those 2014 to make

1 a transition to 2050 and to 2030. So the numbers that you  
2 see on the vertical axis here, these are the vehicle  
3 prices. As you can see here it is the hydrogen actually  
4 that has a higher price in this class of vehicle. Again,  
5 remember we have 15 different classes of vehicle.

6 So for the compact class hydrogen prices actually  
7 have higher prices than EVs and PHEVs. But nonetheless all  
8 of those are going to converge with the gasoline vehicle  
9 prices in our price path, in our price scenario that we are  
10 using for the high energy demand case.

11 Also notice that these prices are in 2013 dollars  
12 as opposed to the previous slide that was 2009 dollars.  
13 And notice too, that this is for a compact class of the  
14 passenger cars. It is not for all passenger cars. We  
15 generally use compact and mid-size, because those are the  
16 vehicles that are sold the most in the State of California.  
17 Those are the predominantly sold vehicle classes in  
18 California.

19 So notice that these prices are approaching to be  
20 equal to the gasoline vehicle prices in 2050. We are  
21 slicing the price path from 2015, actually 2014, to 2026 to  
22 use in our forecasts. So our forecast doesn't go to 2050.  
23 Oh sorry, actually in this case this is the high energy  
24 demand.

25 ZEV vehicle prices approach gasoline vehicle

1 prices in 2030, not 2050. So for the high energy demand we  
2 are approaching ZEV vehicle prices that are approaching  
3 gasoline vehicle prices in 2030.

4 This is for the same class of vehicle, compact  
5 class, again in the same dollars, 2013 dollars. This time  
6 this is a mid energy demand case. In this case, our ZEV  
7 vehicle prices converge to gasoline vehicle prices in 2050.  
8 So as you can see, if you compare these two graphs with  
9 each other you can see that in the high energy demand case  
10 when the prices converge in 2030 we have a faster decline  
11 rate. Look at the slope of the lines and you could see  
12 that they drop faster compared to this one. Again, we are  
13 slicing off the 2015 to 2026 or 2014 to 2026 to use in our  
14 forecast.

15 How about the low energy demand? In the low  
16 energy demand case, what we are doing we are keeping the  
17 incremental prices of ZEV vehicles constant at their 2014  
18 levels. So what the sales-rated average price of these  
19 vehicles were in 2014 in comparison to gasoline vehicles  
20 we're keeping those prices constant over the entire  
21 forecast. Not the prices constant, but the price  
22 difference is constant.

23 As you can see here gasoline prices are slightly  
24 increasing over time and so is the case with electric and  
25 hydrogen and plug-in hybrid electric vehicles. They all

1 move together.

2           What is also important are the vehicle class  
3 choices. This often overlooked in many studies. Like for  
4 instance in the NRC they have the two classes of compact  
5 cars and passenger cars and light-duty trucks. It is  
6 important to note the differences between different  
7 classes. And the reason is that once a family decides to  
8 buy a vehicle in a certain class they most likely are going  
9 to stick to that class.

10           If you're a big family and you're going to buy a  
11 minivan it is not really likely for you to move into a  
12 compact car. So what you want is another minivan that is  
13 an EV or FCV or PHEV. If there are none available you are  
14 not going to buy it, because your mind is set on minivan.  
15 So availability of these vehicles in different classes are  
16 of significance.

17           This is something that we found actually. In our  
18 2013 survey we noticed that consumers are more likely to  
19 stick to their vehicle class choices than to their fuel  
20 type choices. Consumers were more willing to switch  
21 between fuel types than they were to switch between  
22 classes. This was an important finding that we had in  
23 2013.

24           So what does that mean? That means for instance  
25 if somebody wants a mid-size sports utility, the figures in

1 the middle, then they are going to just buy those vehicles.  
2 There is nothing in fuel cell, nothing in PHEV available.  
3 And it will not become available according to the forecast  
4 that we have. The red numbers here are technology,  
5 introduction, and schedule as projected by Sierra Research.  
6 So those numbers, they are telling us that a compact sport  
7 utility vehicles are introduced in PHEVs in 2017, but not  
8 in mid-size sport utility vehicles.

9 If somebody wants a heavy sport utility in 8,500  
10 to 10,000 they have no choice in the ZEV vehicles and they  
11 have to stick to gasoline if that's what they want.

12 I should also bring to your attention that all  
13 the black numbers that you see are the actual numbers that  
14 we have in the DMV data. Although most people think that  
15 EVs are a recent product they are not. They have been in  
16 existence for a very long time. As you can see, for  
17 instance, in the subcompact class we have had EVs. We have  
18 a 1966 EV in the 2014 DMV database.

19 So what are we using here? We are using the Air  
20 Resources Board's ZEV most likely scenario cumulative  
21 sales. That's also important to note, because what ARB has  
22 is cumulative sales as opposed -- and most people are just  
23 adding those up and a lot of people consider those as on-  
24 road vehicles. The fact of the matter is that vehicles  
25 come into the market and vehicles leave the market.

1           There are accidents for instance, taking some  
2 vehicles out of the market. And there could be vehicles  
3 that are entering from other states or there are vehicles  
4 that could be leaving the state. There are all kinds of  
5 things that could happen, but nonetheless we use the  
6 cumulative sales from ARB as the ZEV most likely scenario.  
7 Why do we use this? Why not use the ZEV credits as a lot  
8 of people may question. Actually a question did come up.

9           The reason is that the ZEV credits really apply  
10 to the manufacturers. And what we have here is a demand  
11 forecast. Our consumers are not concerned about ZEV  
12 credits. Our model does not allow a break down by  
13 manufacturers. When we are talking about classes in our  
14 models we have what we call in economics, we have a generic  
15 car. We don't care if it is from Toyota or Tesla or Nissan  
16 or what have you. We have a generic brand of vehicle.

17           And our consumers, our fictional consumers, for  
18 them it doesn't matter where the car is coming from. All  
19 of the ZEV credits however are applied to different  
20 manufacturers depending on their sales volume, so we can't  
21 really use that in our model. We do not have a vehicle  
22 supply model to use this for.

23           In order to use the ZEV credits we have to have a  
24 vehicle supply model and maybe at some point, hopefully, we  
25 can join forces together with ARB and create a new vehicle



1 supply model. That's my dream. I have been talking about  
2 it for a long time, so I better say it.

3 So notice here in this graph that PEVs are a huge  
4 share of the ZEV vehicles. Notice that FCVs are a very  
5 small share. PEVs are a huge share and even among the PEVs  
6 and the ZEV most likely, so now a very large portion of it  
7 is actually PHEVs. Notice however, that this ends in 2025.

8 If you go to other work by ARB, like if you look  
9 at the Vision Model, project into 2050, you will notice  
10 that by 2050 the PHEVs are not going to be the prominent  
11 force here. So actually after 2025 these numbers according  
12 to what ARB has envisioned actually are going to go down.  
13 In place of that, we are going to have more and more and  
14 more FCV and PEVs.

15 But we are stopping at 2025 and our forecast  
16 stops at 2026, so perhaps in the next IEPR forecast we are  
17 going to look into that and accommodate.

18 The ZEV, most likely we are not the only ones who  
19 are using this. Actually, there was a study completed for  
20 CalETC, Electric Transportation Coalition, by ICF. And  
21 they also used the ZEV most likely. They created ZEV-based  
22 scenarios, three ZEV-based scenarios. In the low case that  
23 they created they have a 50-50 split between PEVs and fuel  
24 cells. So that was their low PEV case.

25 The ZEV most likely was their mid-case, kind of

1 like what we use here, sort of. And ZEV times three, so  
2 that is the ZEV most likely times three was their high  
3 case. It is a nice -- ZEV most likely numbers are actually  
4 a pretty nice point of reference for a lot of people who do  
5 study these figures.

6           So here is our PEV demand forecast and this is  
7 the number of on-road vehicles. As you can see here in the  
8 low energy demand case our PEV exceeds the ZEV most likely  
9 scenario's PEV. So what you see, the dashed line, are the  
10 PEVs in a ZEV most likely scenario. And our forecast of  
11 PEVs actually exceeds the number of PEVs in the ZEV most  
12 likely scenario through 2022, but it falls below after  
13 that.

14           In both the mid case and the high energy demand  
15 case Energy Commission's PEV demand forecast exceeds the  
16 ZEV most likely scenario in all years, over the forecast  
17 period.

18           Well how about mass transit and freight? We are  
19 just going to briefly talk about this. Bob McBride is  
20 going to talk more about them later, but we have direct  
21 electric that is used in light rail. We have electrified  
22 rail. And it is projected to, for instance the commuter  
23 rail between San Francisco and San Jose, I think, is  
24 projected to be electrified starting at 2019 with the high-  
25 speed rail. We have trolley buses. All of these are using

1 direct electricity.

2 In addition to those we also have electric  
3 transit and school buses. The numbers are not very high,  
4 but they are there. And they are projected actually to  
5 grow sometime in the future. And we have incorporated  
6 those into our forecasts.

7 We also have EV trucks. Many of you have heard  
8 of Frito-Lay trucks and UPS and Fed-Ex and all those. We  
9 also have EV trucks.

10 When it comes to long distance we have high-speed  
11 rail and the catenary truck that we are talking about,  
12 that's not really yet a long distance. It is only a one-  
13 mile E highway demo case, but it can happen sometime in the  
14 future. We don't account for that though.

15 Questions, comments?

16 COMMISSIONER MCALLISTER: Great, thank you.

17 MS. BAHREINIAN: Any questions?

18 COMMISSIONER MCALLISTER: Anybody have any  
19 questions? Yeah, so I think we're good. That was very  
20 clear, thank you.

21 MS. RAITT: Okay. Thank you, Aniss.

22 So next is Marshall Miller. Oh, I'm sorry.

23 COMMISSIONER MCALLISTER: Yeah, so what's our  
24 schedule here? Are we going to do public comment?

25 MS. RAITT: We were going to do public comment at

1 the end after everyone.

2 COMMISSIONER MCALLISTER: Okay. Although I will  
3 ask is there anyone in the room from our sister agencies,  
4 date service? (phonetic)

5 You're from ARB, right? Okay. Maybe we want to  
6 actually let ARB up and our other -- if you would like to  
7 go ahead and make comment that would be fine.

8 MR. CUNNINGHAM: Thank you for the opportunity to  
9 present. Aniss, excellent work, Commissioners, Joshua  
10 Cunningham with Air Resources Board.

11 First, I want to say thank you to Aniss and your  
12 group for showing the overlay with the ZEV most likely  
13 compliance scenario. It's important for the ARB and the  
14 CEC to be aligned on those projections. We recognize there  
15 are different methodologies and reasons to have alternate  
16 scenarios at the Energy Commission, but it is important to  
17 show at least where the regulatory forces may be showing  
18 cases.

19 A couple of questions, well on that point first I  
20 would ask you to look at the ICF study and just ensure  
21 they do show -- or you're saying that they show a ZEV  
22 compliance -- a 50-50 between plug-ins and fuel cell  
23 vehicles. Just make sure the regulation actually has a cap  
24 on the amount of plug-in hybrids that are allowed to be in  
25 compliance. So the split in the regulation is actually on

1 pure ZEVs, which would include batteries and fuel cells in  
2 one category and plug-in hybrids in a second category.

3 So they're showing a split as 50-50 make sure  
4 that the PEV category in their split accounts for the cap  
5 on plug-in hybrids. So that for true compliance you could  
6 not have too many plug-in hybrids in that category and  
7 still meet the rule.

8 A question on your costs, do the projections on  
9 the costs account for incentives or is that factored off  
10 model, so that you're accounting for consumer impacts? And  
11 do you also assume phase out of incentives, federal and  
12 state, at different time periods in the future? So that's  
13 kind of a key question that I would have as it relates to  
14 the impact on consumer demand.

15 And then one other question on the table that you  
16 show for the sale splits up to current years. You show  
17 gasoline and ethanol split. I assume that 9.8 percent  
18 ethanol is actually the E-10 fuel blend, so those are  
19 actually combined conventional vehicles or are those flex  
20 fuel vehicles that are (indiscernible) FFVs?

21 So those are my questions and comments. Thank  
22 you.

23 MS. BAHREINIAN: Thank you very much, Joshua.  
24 And thank you for attending our workshop.

25 On the ethanol question those are flex fuel

1 vehicles actually and these are of the stock of light-duty  
2 vehicles.

3           On the incentives we are keeping incentives  
4 constant at their current levels for the entire forecast  
5 period, which may not be a realistic case but we have kept  
6 it constant.

7           MR. CUNNINGHAM: Okay. I can understand that  
8 that's a scenario. Keep in mind that the federal  
9 incentives, unless the rule has changed, have a specific  
10 cap on when federal incentives go away by the number of  
11 cars sold by each auto company. And we're projecting that  
12 it'll probably start hitting in the next couple of years  
13 for GM and for Nissan and not too far afterwards for some  
14 of the other manufacturers.

15           And then the state incentives, of course, are at  
16 the discretion of what we do at the state. But it's  
17 dependent on the GGRF Funds and how much money we can put  
18 towards the federal incentives is the much bigger one that  
19 has influence.

20           MS. BAHREINIAN: Yes. And one alternative could  
21 be that the manufacturers themselves could be cutting the  
22 prices. Because if you look at the transaction prices -- I  
23 mean, the previous workshop we had presented the  
24 transaction prices -- the tendency is that when they want  
25 to sell their vehicles they would have to give discounts.

1 But we don't -- those are the dealer incentives and the  
2 manufacture incentives that we do not account for.

3 But our 2014 sales-weighted average prices do  
4 account for all of those discounts. So we start with the  
5 reality of 2014 and move our way up.

6 (Off mic colloquy.)

7 MR. MILLER: Okay. I'm Marshall Miller. And I'm  
8 going to discuss the off-road transportation  
9 electrification. And this is work done with the Aspen  
10 Environmental Group.

11 The purpose of this study is essentially to  
12 estimate the total electricity demand for off-road vehicles  
13 and stationary applications, things like truck stops or at-  
14 berth ship visits, for the next ten years. We've produced  
15 a low, medium and high scenarios for electricity usage for  
16 each category of these vehicles or applications over the  
17 next ten years.

18 Okay. There's seven categories or off-road  
19 categories considered in this study: truck stop  
20 electrification, transport or trailer refrigeration units,  
21 forklifts, port cargo handling equipment, airport ground  
22 support equipment, utility work trucks and shore power.  
23 And when I discuss each of the categories, I'll give just a  
24 little more information about what each of these are.

25 The methodology used for the calculation of the

1 electricity demand is relatively straightforward. We  
2 started with trying to understand the present fleet stock  
3 of either vehicles or applications, number of truck stops.  
4 There's basically a number of vehicle types within each  
5 category. So, for example, utility work trucks have both  
6 small and large bucket trucks. There's a variety of  
7 forklift classes.

8           So for each of these categories, we try to  
9 understand a number of different vehicle types that fit  
10 into the category, and then do the calculation for all of  
11 those. And then sum them up.

12           We estimate the stock growth over the next ten  
13 years. We estimate the vehicle or application activity --  
14 that is, vehicle miles traveled or hours over the year --  
15 and then try and understand the fuel economy. That would  
16 be in miles per kilowatt hour or kilowatt hours per hour.

17           Then a really important part of this is the  
18 estimate of the percentage of electrified vehicles or  
19 applications in the fleet over that ten years.

20           So at the present time, there may be a certain  
21 percentage of electrified vehicles. And we try to  
22 understand instead of -- as the number of vehicles in the  
23 fleet increases, does that percentage of electrified  
24 vehicles increase and if so how much? And we have  
25 different percentages for each of the scenarios: low,



1 medium and high.

2           Now this estimate is actually fairly difficult to  
3 do. What we did is we looked at current reports, recent  
4 activity, regulations. We had discussions with  
5 stakeholders. For example, staff on the ports, staff from  
6 ARB. And for each of the scenarios low, medium and high,  
7 we basically tried to understand what would the percentage  
8 of electrification be ten years from now.

9           Once we determined that, we made the simplistic  
10 assumption that the increase year-to-year would essentially  
11 be linear. So if there were 0 percent today, 20 percent  
12 ten years from now, each year there would be an increase of  
13 2 percent. And that's unlikely to be exactly true, but  
14 it's hard enough to understand or estimate the percentage  
15 ten years from now. It would really be impossible to try  
16 and get a reasonable percentage estimated year-by-year.

17           Okay. So there are three scenarios: low, medium  
18 and high. The difference in the scenarios basically boil  
19 down to two things: differences in stock growth (from low,  
20 medium and high scenarios) and differences in percentage  
21 electrification. And it turns out that the range of these  
22 estimates is basically dominated by the percentage adoption  
23 of electrification.

24           The stock growth was basically determined using  
25 data from the U. S. Bureau of Economic Analysis for

1 California counties. And they projected three growths: a  
2 baseline, a low and a high. And we used those three in our  
3 low, medium and high scenarios to basically project the  
4 increase in the stock growth.

5 And the differences are fairly low. The low  
6 scenario had about a 2 percent per year increase. The  
7 baseline was 2.3 percent. And the high was roughly three  
8 percent. So you see about a 1 percent absolute difference  
9 between all three scenarios. On the other hand, the  
10 percentage of electrification can differ by 30 or 40  
11 percent over the low-to-high scenarios. So those tend to  
12 dominate.

13 Now in determining the percentage of  
14 electrification -- as I mentioned, that's difficult to do.  
15 It's basically a judgment call. The medium scenario was,  
16 in a our understanding, the best estimate. So talking to  
17 stakeholders, looking at reports, looking at what's  
18 happening on the ground right now. We tried to understand  
19 what would be expected, what was the most likely scenario  
20 out during the next ten years.

21 The low scenario is really closer to a lower  
22 bound. It isn't an absolute lower bound, but basically we  
23 looked at what was available today, what are the present  
24 regulations? And we assumed all categories would meet  
25 those regulations. And then we extrapolated, but assumed

1 that the electrification would fall short of what was our  
2 best estimate, the medium scenario.

3 In the high scenario we had aggressive  
4 assumptions. Essentially they're doable, but they're very  
5 much higher, or they're higher than expected. So the low  
6 and high are not really well defined. Again, it's a  
7 judgment call, but it -- and it's not a complete bound the  
8 highest you can imagine, lowest you can imagine. But it's  
9 a, I think, in our view a reasonable bound on what to  
10 expect.

11 Okay. The next set of slides I'm going to  
12 describe the general methodology used for the demand  
13 forecast for each of the sectors. There's going to be some  
14 numbers and some details in these slides, but I'm going to  
15 focus on those. I'm really going to focus on just the  
16 general methodology.

17 So for truck stop electrification these are  
18 trucks that can stop, say overnight or for some  
19 signification period of time. And rather than running an  
20 engine, say an APU, for their hotel loads they can actually  
21 plug in. So it's an electrical load that drives heating,  
22 cooling, radio, TV, or whatever.

23 The Department of Energy, Alternative Fuels  
24 database lists 224 electrified spaces in California at  
25 present. Southern California Edison inventory, estimates

1 the total number of truck stop spaces. And then from the  
2 California Transportation Electrification Assessment Study  
3 we took an average load for a given truck when parked at  
4 one of these spaces. This would be an electric load.

5 COMMISSIONER SCOTT: Just a quick clarification  
6 there.

7 MR. MILLER: Sure.

8 COMMISSIONER SCOTT: So it's 224 electrified  
9 spaces in California out of a total of 9,282 total truck  
10 stop spaces in California?

11 MR. MILLER: That's correct

12 COMMISSIONER SCOTT: Okay.

13 MR. MILLER: At least that's the numbers we got  
14 in the DOE database and the estimate of the inventory.

15 COMMISSIONER SCOTT: Okay. Thank, you.

16 MR. MILLER: And then project out, for the next  
17 ten years, the two things we did is look at the potential  
18 increase in the number of electrified spaces and the  
19 potential increase in the capacity factor.

20 So capacity factor is basically you have 24 hours  
21 of an electrified space available. A truck may stop there,  
22 plug in for six hours. After that truck leaves, another  
23 truck may plug in for eight hours. So the capacity factor  
24 is basically the percentage of time a truck is actually  
25 plugged in, using the load, out of the total time.

1           And so you can see for the low, medium and high  
2 scenarios we increased the number of electrified spaces or  
3 the capacity factor. In the low scenario, we made the  
4 assumption that there would be no increase in electrified  
5 spaces. But there is an increase in the capacity factor.  
6 So there is an increase of electricity even in the low  
7 scenario.

8           For transport refrigeration units, these are  
9 trucks that can be equipped with an electric or ETRU. And  
10 when they stop, they can plug into an electric stand-by and  
11 therefore use an electric load.

12           In order to estimate the demand -- the stock, I'm  
13 sorry -- we looked at the ARB TRU emissions database and  
14 got numbers for the present number of TRUs. We assumed  
15 that ETRUs, electric TRUs, can plug in roughly 30 percent  
16 of their operating time. Other times they either don't  
17 have the capability of plugging in or they're driving or  
18 whatever.

19           For TRUs there are four classes based on  
20 horsepower. Three of them are based on horsepower and the  
21 forth class is out of state. The assumption is the vast  
22 majority of those are the largest horsepower, greater than  
23 25 horsepower.

24           From the Cal TEA study, and discussions with ARB  
25 staff, we estimated the power usage while stopped and

1 plugged in, of the various -- of the different classes in  
2 terms of horse power.

3 This table shows for each scenario: low, medium  
4 and high -- and for the TRU types based on horsepower or  
5 out of state -- our assumption for the percentage of  
6 electrification ten years from now.

7 So you can see in the low category, we assumed no  
8 increase in electrification, in percentage of ETRUs. And  
9 we also assumed no out-of-state trucks would basically use  
10 electric TRUs. For the medium, there's a fairly  
11 significant increase in percentage electrification, in the  
12 high a slightly higher increase.

13 You'll notice in the high case we actually do  
14 assume that some out-of-state trucks will use ETRUs and  
15 then in-state, or perhaps out of state, plug-in.

16 The reason we do not assume that there's any  
17 percentage of ETRUs for out-of-state trucks in the low and  
18 medium case is that since these trucks drive some  
19 reasonable amount of time out of state -- and the  
20 understanding is that it is much more difficult to find  
21 appropriate electric stand-by to plug in out of state than  
22 in California -- those truckers would have much less desire  
23 to pay the money to purchase an ETRU or upgrade to an ETRU.  
24 And perhaps only some of them again in the high case might  
25 decide to do that.

1           So for forklifts there are a number of classes,  
2 classes 1 to 3 or electric forklifts, classes 4 and 5 are  
3 internal combustion engines. Those can be gasoline or  
4 diesel.

5           To determine the current stock we looked at a  
6 market intelligence report for sales data. That gave sales  
7 -- I can't remember -- going back to 1980 or so. And we  
8 used that to estimate at present what the current number of  
9 forklifts in each of the classes would be. We also used  
10 that sales data to try and understand the percentage, at  
11 present, of electric versus ICE forklifts.

12           And we used the Cal TEA study to try and  
13 understand the electricity usage per year. There's a  
14 mistake on the slide. These should all be megawatt hours,  
15 not kilowatt hours. But that gives you the electricity  
16 usage for the various classes or horsepower.

17           And then for the scenarios in the low scenario,  
18 we assumed that the percentage of electric to ICE forklifts  
19 basically remains the same. So people make -- they upgrade  
20 their fleets, they increase the number of forklifts, but  
21 the percentage is basically the same as its been in past  
22 years.

23           For the medium scenario we assumed that that  
24 ratio increases, such that 15 percent of forklifts that  
25 previously would have been purchased as gasoline or diesel

1 forklifts will be purchased as electric forklifts.

2 And in the high scenario that percentage  
3 increases to 25 percent.

4 Okay. So for port cargo handling equipment we  
5 looked at three vehicle types or including cranes: yard  
6 tractors, forklifts, rubber-tired gantry cranes.

7 We used the ARB Cargo Handling Equipment  
8 emissions database for the present stock and activity in  
9 hours for these three vehicle types. And then in order to  
10 calculate the electrical energy usage we used the Tiax  
11 Report that estimated the power use for each of these  
12 vehicle types.

13 This table shows, again for the three scenarios:  
14 low, medium and high, what are estimates for percentage  
15 electrification in the next ten years. And you can see  
16 that the numbers below are relatively modest. And by the  
17 time you get to high they're significantly higher.

18 The reason that RTG Cranes is smaller than  
19 tractors and forklifts is that tractors and forklifts, you  
20 can buy a single tractor or single forklift and replace an  
21 ICE version of that fairly easily.

22 For RTG cranes, there's much more planning  
23 involved. It's not a question of replacing a single crane.  
24 It's generally a question replacing a region on the port  
25 and so that's a much more difficult and significant



1 modification. And so we assumed that the percentage of  
2 electrification would be lower for those.

3 So airport ground support equipment, these are  
4 things like baggage tugs, belt loaders, cargo tractors,  
5 forklifts, vehicles that move people, cargo, luggage, food,  
6 things like that around the airport.

7 In order to estimate the current stock, we used  
8 an airport cooperative research program inventory estimate.  
9 That was for the country. And we used FAA employment data  
10 to estimate the percentage in California.

11 There's an LAX report on the possibility of  
12 transitioning to electric equipment on the airports and  
13 that report gives the energy usage, both for electrical and  
14 for diesel or gasoline, for each of these vehicle types at  
15 least on their airport. And we used those energy estimates  
16 in our calculations.

17 COMMISSIONER SCOTT: I have a question for you on  
18 this and also with the forklifts.

19 MR. MILLER: Sure.

20 COMMISSIONER SCOTT: Is there a hydrogen fuel  
21 cell component here? And I ask that just because I've seen  
22 at a kind of like a grocery store facility -- and they had  
23 all hydrogen forklifts running around the facility -- kind  
24 of taking the goods and the boxes from one place to  
25 another.

1           And on the ground support there's a really  
2 interesting project in Memphis where they're using hydrogen  
3 fuel cell kind of baggage support equipment. And I'm not  
4 sure if those are pilots and one-offs or whether those have  
5 a large enough percentage to be calculated in your  
6 calculations here.

7           MR. MILLER: They generally are small, but the  
8 reason we don't look at them is that if you use hydrogen,  
9 that does not contribute to electricity demand.

10          COMMISSIONER SCOTT: So you're focused on the  
11 plug-in part, kind of the electricity component?

12          MR. MILLER: Right, the base, right.

13          COMMISSIONER SCOTT: Yeah, okay. I got it.

14          MR. MILLER: Either plug into the grid or  
15 basically a battery-electric vehicle that eventually gets  
16 plugged into the grid.

17          COMMISSIONER SCOTT: Right. Okay, I got it.

18          MR. MILLER: Now, of course hydrogen, in order to  
19 produce the hydrogen you might up your electric load. But  
20 we did not consider that here, because that's an indirect  
21 effect.

22          COMMISSIONER SCOTT: Thank you.

23          MR. MILLER: Okay. So to understand the  
24 percentage of electrification at the airports for the three  
25 scenarios: low, medium and high we looked at some studies

1 of present electrification, or reports of present  
2 electrification, at various airports. And Ontario and San  
3 Jose both have significant electrification. The report at  
4 LAX indicated that roughly 37 percent of its ground support  
5 equipment were electrified in 2013.

6 So in looking at state-wide we assumed that  
7 roughly 20 percent was electrified now. And then the  
8 increase would be relatively modest in 2025, but could get  
9 fairly significant at the high end.

10 The fact that perhaps 50 percent could be  
11 electrified by 2025 was sort of based on this LAX study  
12 that showed that the cost for almost all of this equipment  
13 would be -- the cost to own and operate -- would be  
14 significantly less for the electric applications that were  
15 currently available. So given that cost is a pretty good  
16 driver, both the desire to be environmentally friendly and  
17 to reduce costs, we thought that there could be a  
18 significant chance to have a decent increase in  
19 electrification.

20 So the next sector is what we call utility work  
21 trucks. These are bucket trucks that drive to areas, will  
22 stop and do maintenance or installation of electrical  
23 equipment or electrical power at various sites around the  
24 State.

25 And the electrification is putting a battery pack

1 on the truck. And then when it stops that battery pack can  
2 provide all of the power. So you can turn off the diesel  
3 engine and then plug into the battery pack and have that  
4 supply all of the necessary power while stopped at the  
5 worksite. And then at the end of the day the truck can  
6 drive home, plug into the grid, and have that battery pack  
7 charged up again.

8 Last year there was a movement by utilities  
9 across the country -- this was led by PG&E -- to try and  
10 get the fleet managers to pledge to buy a significant  
11 number of plug-in vehicles for their fleets. These are  
12 both plug-in in the sense of the work trucks, but also  
13 generic plug-in vehicles, just the light-duty vehicles.  
14 And we didn't consider those. But because of this  
15 movement, and because PG&E has actually indicated they have  
16 a strong desire to electrify 100 percent of their work  
17 trucks within the next ten years, there could be  
18 significant activity in this sector.

19 So for our various scenarios: low, medium and  
20 high, generally we assume PG&E would meet that 100 percent  
21 commitment, not in the low scenario, but in the medium and  
22 high. The other utilities Southern Cal Edison, SMUD, and  
23 Sempra would reach lower goals, but still significant  
24 goals.

25 So I just list here the percentage of

1 electrification, for example, low 36 to 44. And there are  
2 two types of work trucks, small and large, of these bucket  
3 trucks: 37 feet, 55 feet. So the percentages there are 37  
4 and 55 respectively.

5           And then finally, there was a study by -- it was  
6 overseen by the Edison Electric Institute -- that looked at  
7 four bucket trucks, what the energy usage would be in  
8 electric mode, so for these hybridized trucks with battery  
9 tracks and also looked at the energy usage in the  
10 conventional mode, the diesel mode. And looked at the  
11 number of operating days a year, the amount of time spent  
12 at a worksite drawing load and so on. So we used those  
13 values in order to calculate the actual electricity demand.

14           So the last category is shore power. This is  
15 ships that will berth at California ports, and while  
16 they're at berth they have to run or use power for kind of  
17 hotel loads.

18           They can use their diesel engine, large diesel  
19 engine, onboard the ship, but there is what we call an at-  
20 berth regulation that requires that ships in port of  
21 certain type must use shore power, must connect to an  
22 electro load on the shore or use an approved alternative  
23 control technology.

24           And I list here -- the ships that we consider  
25 container, cruise or passenger, reefer and tanker ships.

1 And the at-berth regulation is listed there for the shore  
2 power by various years, what the different ships or  
3 percentages at ports, must reach. Those percentages go up  
4 a little bit for any port that receives Prop 1B funding.

5 So our scenarios basically assumed that although  
6 it's possible to use alternative control technologies, we  
7 assumed that the ports would actually upgrade to be able to  
8 meet this at-berth regulation. And so for low, medium and  
9 high scenarios we assume a fairly high percentage of  
10 electrification at berth.

11 And this table just shows from a Port Of Long  
12 Beach emissions inventory report average berth times for  
13 the different ship types, the average electrical load, and  
14 the total energy per visit for those ships. And that was  
15 used to understand the total electric load for shore power.

16 So the total off-road electricity demand forecast  
17 for those seven sectors is shown here in gigawatt hours per  
18 year. The three scenarios: red is the high, blue is the  
19 medium and green is the low. And it's not exactly linear.  
20 And there's a reason in technical details, but it general  
21 it's linear because of our assumptions that the percentage  
22 electrification would be increased year-by-year over those  
23 ten years.

24 And finally, we also calculated the avoided  
25 petroleum usage from the switch to electricity. And

1 basically what we did is for any vehicle where there was a  
2 switch to electricity -- in other words it replaced an  
3 internal combustion engine vehicle for that particular year  
4 -- we looked at the petroleum usage, the diesel or gasoline  
5 usage, that that replaced vehicle would have used. And  
6 then we added up all the uses for all those replaced  
7 vehicles on a year-by-year basis.

8 And what's shown here in millions of gallons is  
9 your diesel gallon equivalent. So any gasoline vehicles we  
10 converted to diesel gallon equivalent in this graph.

11 Okay. Thank you.

12 COMMISSIONER SCOTT: I have one more questions  
13 for you?

14 MR. MILLER: Sure.

15 COMMISSIONER SCOTT: On the shore power slide,  
16 did you say whether or not -- so I see that there's the  
17 regulation that requires more ships to plug in as they get  
18 to your berth. Do you also account for the fact that we  
19 anticipate that the size of ships is going to get bigger  
20 and that more ships are likely to be coming to the port.  
21 Is that part of this calculation as well?

22 MR. MILLER: No. And that's true. There is  
23 definitely a trend toward larger sized trips (sic). Since  
24 we didn't know -- we didn't have access to an estimate of  
25 what the electrical load would be -- we used the estimates

1 from that one study, which is for current ships.

2 COMMISSIONER SCOTT: Okay. Thank you.

3 MS. RAITT: Thank you.

4 Next is Jesse Gage.

5 MR. GAGE: Thank you, and good morning. I'm  
6 Jesse Gage and I will be covering the light-duty stock  
7 forecast in support of our overall transportation energy  
8 demand forecast. I'm going to be mostly hitting the  
9 highlights today, largely focusing on alternative fuel  
10 vehicles, because they are, of course, the hot button  
11 issue.

12 The comprehensive LDV forecast will be available  
13 in our staff report, once that hits the docket.

14 Let's start at the top. As I mentioned in the  
15 preliminary forecast workshop in June, overall light-duty  
16 stock in our model is largely determined by what we call  
17 the econ demo projections. That is state population, gross  
18 state product, income.

19 There are also high, mid and low-case projections  
20 for government and rental fleets, which are added to the  
21 personal and commercial stock models to obtain the overall  
22 light-duty fleet makeup.

23 Our six cases yield total light-duty vehicle  
24 stock projections in that range between 30 and 33 million  
25 LDVs by 2026. Note that the high AFV, the high alternative



1 fuel vehicle and high petroleum cases, have identical total  
2 stock. As was shown in Aniss Bahreinian's presentation  
3 these two cases used identical econ demo projections. And  
4 they also imply the same government rental forecasts.  
5 Their differences instead lie in the stock makeup. As  
6 their names imply the high AFV case maximizes alternative  
7 fuel vehicles, while the high petroleum demand case posits  
8 where fossil fuels reign supreme.

9           Before we dive into the details of our stock  
10 forecast there's one interesting trend I'd like to call  
11 attention to. And it has implications for the makeup of  
12 the vehicle fleet in the short and medium term.

13           I've plotted here the percentage of vehicles in  
14 our database which are 11 years or older -- 11 years,  
15 because that's how long our forecast runs, 2015 to 2026.  
16 This percentage, nearly one third in 2005, increased  
17 markedly starting in 2009, in response to the recession,  
18 and stood at about 44 percent last year -- more than 12  
19 million vehicles. What does this mean?

20           Well, if this trend continues or even regresses  
21 to the 30 percent levels seen previously millions of  
22 vehicles being driven in 2026 are on the road today. Maybe  
23 not with the same owner, maybe the same driving habits, but  
24 they'll still be around. This takes them out of fight for  
25 increased mileage due to future CAFE Standards or the push

1 ZEVs.

2           Let's face it. My '98 Corolla, if it's still  
3 somewhere out there in 2026, is not going to magically turn  
4 into a Mirai or Model S no matter how much I cross my  
5 fingers. Our forecast projects that between 8 and 12  
6 million vehicles in 2026 are current extant, depending on  
7 the forecast case. With that let's begin the drill-down of  
8 the vehicle stock.

9           Before we begin with diesel and alternative  
10 fuels, let's start with the juggernaut of the vehicle  
11 fleet. Gasoline-powered non-flex fuel capable vehicles, as  
12 we know, currently rule the light-duty vehicle kingdom with  
13 nearly 80 percent of current new vehicle sales and over 90  
14 of the LD fleet as a whole. And in the interest of making  
15 the following chart easy to read I've broken it off and  
16 shown the ensemble here.

17           It's an interesting dynamic with most cases  
18 seeing gasoline decline in four or five year's time.  
19 However in the high petroleum and low energy demand cases,  
20 gasoline LDV stock continues its rise unabated.

21           If we quickly switch over to the scenario  
22 breakout slide, Ms. Bahreinian's presentation, we can see  
23 the difference. The upward trending scenarios -- again  
24 high petroleum and low energy -- both use consumer  
25 preferences solely from our 2013 vehicle choice survey and

1 no overarching assumptions as to the price of ZEVs.

2 And by ZEVs, I am including plug-in electrics as  
3 well as battery electrics and hydrogen as they do  
4 contribute to the ZEV mandate to an extent.

5 The downward trending cases use some combination  
6 of vehicle preferences favorable to ZEVs. They also use  
7 the more aggressive price reductions of ZEVs, namely the  
8 transition 2030 and transition 2050 scenario. And of  
9 course, fuel prices do have an effect throughout the cases.  
10 Taken together we can see why the two lower cases do not  
11 see a reversal of gasoline stock.

12 One last thing to point out here, is that the mid  
13 and high energy demand cases have nearly identical  
14 trajectories. But we saw earlier that the high energy  
15 demand case has greater total stock. This, of course,  
16 implies that the difference is made up by vehicles, which  
17 are not gasoline powered. Those extra vehicles are merely  
18 added onto, rather than replacing, gasoline vehicles -- at  
19 least in the aggregate.

20 With gasoline spoken for, let's take a focus on  
21 the mid case and take a look at the fuel makeup of the rest  
22 of the light-duty fleet. Stock for all of these fuel types  
23 increased throughout the forecast period although the  
24 growth rates do not necessary follow suit. Or as us math  
25 nerds like to say, "Positive rate of increase, but not

1 always positive concavity."

2 Light-duty vehicle diesel stock deserves special  
3 mention as Commissioner McAllister mentioned. As stated  
4 before non-ZEV preferences were set in response to our 2013  
5 vehicle survey and the various vehicle attributes developed  
6 in mid-September. And so the models currently have no way  
7 of responding to -- how shall we put this -- public  
8 relations nightmares on the part of diesel manufacturers.  
9 The conclusions of this are, as us math nerds would again  
10 say, "Left as an exercise to the reader."

11 Before we move on to concentrate on ZEV I'd like  
12 to very quickly show how we see the various vehicle classes  
13 break down over time. At least for the mid case as the  
14 splits for the other cases are similar. I simplified the  
15 15 light-duty vehicle classes we use down to the four that  
16 I always think about, at least, when I think about light-  
17 duty. And they're shown as a stacked chart here.

18 The increase in vehicles, over the forecast  
19 period, stems from cars and SUVs and while light trucks and  
20 to a lesser extent, vans, see their stock actually wane.

21 So here we are at the one slide I suspect a lot  
22 of you are most interested in, total ZEV. And the question  
23 on most people's minds, "Are we or are we not on track to  
24 meet the ZEV mandate?"

25 I've plotted here the total light-duty ZEV.

1 Again, we're using BEV, PHEV, and FCV for all six cases  
2 along with what's known as the ZEV most likely scenario or  
3 MLS, which as Ms. Bahreinian explained, comes from the Air  
4 Resources Board. Note that since the MOS is geared toward  
5 the 2025 mandate neither the ARB nor CRC staff have made an  
6 attempt to extrapolate it to 2026.

7 COMMISSIONER SCOTT: Let me just note, MLS is the  
8 most likely scenario?

9 MR. GAGE: Correct. All six cases exceed the MLS  
10 through 2021. But after 2021 the low energy and high  
11 petroleum demand cases begin to fall short, topping out at  
12 about 1.2 and 1.0 million vehicles respectively.

13 Remember, these are the cases with relatively  
14 decreased consumer preference and higher prices for ZEVs,  
15 which explains the wide gulf between them and the rest of  
16 the rest of the pack, which range from 2.6 to 3.5 million  
17 ZEVs. And as a quick note, it should come as no surprise  
18 of the two cases that don't hit the ZEV target by 2025, are  
19 the same ones whose gasoline stocks didn't reverse their  
20 growth.

21 Finally, in the last set of slides, I wanted to  
22 show a breakdown of the light-duty ZEV stock for the  
23 highest and lowest cases of our ensemble, as well as the  
24 baseline mid case, which -- I guess is the baseline.

25 In all cases PHEV outnumbered BEV and FCV

1 combined. And BEV is several times greater than FCV.

2 In the high AFV case PHEV dominates over the  
3 forecast period, but its market share peaks at about 75  
4 percent in 2018 before losing ground. By 2026 the split is  
5 65 percent PHEV, 27 percent BEV and 8 percent FCV.

6 The mid case is, of course, a much less  
7 aggressive growth curve with ZEVs combining with a hair  
8 over 2.5 million by 2026. However, the market share stays  
9 roughly the same, as it was in the high AFV case.

10 Finally, in the low energy demand case we have  
11 something much closer to a linear trend. There is also a  
12 greater proportion of PHEVs at the expense of both BEV and  
13 FCV. The split here is 77 percent PHEV, 18 percent BEV,  
14 and 5 percent FCV.

15 And with that those are the highlights of the  
16 light-duty vehicle forecast. The full forecast is in our  
17 staff reports and we look forward to including our major  
18 findings in the final Integrated Energy Policy Report.

19 I'll take questions at this time. Thank you very  
20 much.

21 MS. RAITT: Thanks, Jesse.

22 Next is Bob McBride.

23 MR. MCBRIDE: Good morning Commissioners,  
24 visitors, staff with us today, on the paltry vigil we're  
25 holding.

1           I'm going to talk about our modeling effort to  
2 understand future truck fleets. I'll touch briefly on what  
3 might unfold with transit buses. I'll be referring to the  
4 Argonne National Lab's truck model we used to project  
5 market penetration or adoption of alternatives, and of  
6 conventional fuel types for trucks. We've used it to  
7 project alternative fuels other than natural gas as well  
8 for the first time. I'll share some general observations  
9 and insights. And we'll look at trucks today and how  
10 forces included in the models shape fleets over the next 11  
11 years.

12           So as a starting point here's the 2013 bus and  
13 truck fleet together, by size class and fuel type,  
14 according to DMV -- lots of diesel. Motor homes are mostly  
15 gasoline as we expect them to stay since these average only  
16 about 5,000 miles a year. Buying a diesel or alt fuel  
17 version in a motor home will just not pay for itself.

18           DMV shows 1,000 Class 4-6 electric trucks and  
19 buses in 2013, another 2,300 Class 4-6 trucks who are  
20 powered by natural gas. Together the electric and natural  
21 gas fleets are lead by UPS, FedEx, Frit--Lay. And these  
22 are delivery fleets on the street where Joe and Jane cell  
23 phone can see the large lettering clean fleet next to the  
24 company logo.

25           We saw about 1,600 propane or liquefied petroleum

1 gas LPG trucks and buses in 2013, and recently noticed more  
2 in the 2014 DMV data. Unfortunately, this 2014 uptick came  
3 to our attention after our modeling was completed. We  
4 apologize and look forward to including LPG in future  
5 analyses since it appears competitive to CNG.

6 So we handle uncertainty by using a range of  
7 values for factors that influence fuel demand. Here is a  
8 chart, like the light-duty chart, much the same. Fuel  
9 price, fuel efficiency, economic activity and vehicle price  
10 are four of these factors.

11 The four cases on the left correspond to four of  
12 the cases we use for LDV. I'm not presenting two of those  
13 cases today. The low petroleum case has the same truck  
14 market penetration as the high alternative fuel vehicle  
15 case. And the high petroleum case is simply dominated by  
16 traditional fuels, end of story.

17 We use low, mid and high trends for economic  
18 activity and high for the high AFV case. Fuel and vehicle  
19 price run counter to the cases with high prices in the low  
20 demand case, low prices in the high demand case. High AFV  
21 demand case uses high vehicle and fuel prices for liquid  
22 fuels: gas, diesel, ethanol. And low vehicle price and  
23 fuel prices for gaseous fuels and electricity.

24 Fuel efficiency for all cases follow the Phase 1  
25 EPA/NHTSA Truck Fuel Efficiency Rule -- Fuel Efficiency and



1 GHG Rule -- through 2018. The low demand and high  
2 alternative fuel demand cases also follow Phase 1, but also  
3 follow the EPA/NHTSA Truck Fuel Efficiency and GHG Proposed  
4 Rule from '21 through 2026. It actually plateau's in 2027.

5 So the alternative fuel bus population cases we  
6 used, and include: urban transit buses -- those on  
7 scheduled routes -- demand response -- which is paratransit  
8 and other -- and school buses. Bus and rail transit  
9 vehicles are not forecast within the models, but rather  
10 assigned as an input. Transit fare affects the transit  
11 share of travel, but the price of buses does not. And so  
12 bus price is also not in our model.

13 So we did illustrate two main trends: growth in  
14 natural gas and growth in zero emission buses. Our  
15 forecast period ends in 2026. So the 100 percent ZEV urban  
16 transit target for 2040 is regarded as a trend not yet  
17 accomplished. But the high demand case grows the ZEV bus  
18 fleet to represent the trend, which reduces the number of  
19 diesel and natural gas buses.

20 ZEV buses remain at current levels for the low  
21 demand case. And the mid demand case splits the difference  
22 between high and low.

23 So here's the truck population without the buses,  
24 also in 2013. We actively modeled the fuel types in six of  
25 the seven truck types with the motor homes remaining in the

1 constant proportion. Otherwise, lots of diesel if 2013.  
2 Still Classes 3 and 4-6 have a significant fraction of  
3 gasoline trucks. About 3,000 refuse or garbage or  
4 recycling trucks and about 800 Class 7 and 8 single unit  
5 trucks. Most of these are actually used to transfer refuse  
6 and recycling from holding stations to landfills -- are in  
7 natural gas.

8           Runs of the Argonne Truck Version 5 Model confirm  
9 our intuition about how truck fuel types will change for  
10 the most part. High annual miles improve the chances for  
11 natural gas since enough fuel is used to pay for the cost  
12 of natural gas equipment.

13           Driving patterns with many stops will create a  
14 window for hybrids and/or battery electric trucks where we  
15 modeled them in Class 4-6. We expect this would also be  
16 true for Class 3 as well. Low annual miles will lead fleet  
17 buyers to gasoline in some cases, otherwise diesel will  
18 continue to be competitive in part due to the savings  
19 associated with the Phase 2 fuel economy rules.

20           Our new twist is the dedicated E85 Cummins engine  
21 with little added cost -- fuel economy comparable to  
22 gasoline and roughly the cost per mile of diesel.  
23 Demonstration was in a Class 5 van, but we modeled it for a  
24 Class 3. We anticipate the E85 engine will appear in the  
25 market after 2020.

1           So the Argonne Truck Model assumes fleet buyers  
2 follow one of these three curves for adoption given a pay-  
3 back period.

4           So on the left curve 60 percent of conservative  
5 fleet buyers would want alternative technology to pay off  
6 in under 16 months. Then over 80 percent of aggressive  
7 fleet buyers would buy an alternative technology on a new  
8 truck if it paid off within 36 months. For all of our  
9 truck model runs we assumed all fleet buyers to be  
10 aggressive by these terms.

11           So now, we start breaking trucks down by classes,  
12 starting with Class 3 trucks. We see big pickups,  
13 oversized vans and small box or stake trucks. I want to  
14 point out that the vans -- a lot of these are Class 2, but  
15 they can be outfitted with a suspension that puts them in  
16 Class 3. Sort of the same story, though.

17           Another refresher, here the fuel efficiency  
18 trends for Class 3s. I want to point out for the E85 I  
19 made a correction in this slide. They, in fact, do start  
20 off at the same point in 2020. Diesel is the most  
21 efficient and gasoline the least. CNG Class 3s are about  
22 15 percent less efficient than diesels on a BTU basis. And  
23 the E85 version is just better than gasoline.

24           For all fuels, the Phase 1 Fuel Efficiency  
25 Standards come into play for 2014 to 2018. Phase 2 kicks

1 in 2021 and continues through this forecast. So bottom  
2 gasoline, top diesel, natural gas sort of close to diesel,  
3 ethanol, pretty close to gas.

4 So here's the Class 3, just the E85 and gasoline  
5 truck adoption rates, to illustrate a point. Natural gas  
6 did not penetrate a whole lot into Class 3. And diesel is  
7 the heavy hitter. So we just want to look at these two.

8 Gasoline trends meet with intuition until about  
9 2020 when the E85 truck kicks in. Interactions like this  
10 cause results that are counter to intuition. Notice the  
11 black solid line for the E85 mid case above the red solid  
12 line for the high case.

13 Differences between prices, both fuel and  
14 vehicles, drive market share, so high price doesn't always  
15 end up with the low demand. Also, we offset mid case  
16 vehicle and fuel prices from the fuel efficiency. So the  
17 vehicle and fuel prices for the mid and low demand cases  
18 are the same or pretty similar. Also the mid and high  
19 demand cases for fuel efficiency are the same or similar.

20 As a result adoption rates for gasoline in mid  
21 and low cases cross when the E85 kicks in. Still the cases  
22 as we've constructed them are rational, meaning that all  
23 the patterns in slide four hold true -- the chart of the  
24 cases. Except that two adjacent cases can take the same  
25 values. The results can make us blink, but recalling that

1 the purpose of creating multiple cases is the capture  
2 uncertainty the results still define the range of plausible  
3 outcomes.

4 So moving on to 4 and 6, 4-6, 4,5 and 6 here are  
5 two slides -- oh, I've jumped ahead -- with this in mind we  
6 turn to Class 4-6 where diesel-electric hybrid, CNG, and  
7 battery electric trucks go toe-to-toe with diesel and  
8 gasoline. The blue truck on the right is a HINO, which I  
9 believe is a Toyota International Collaboration. That's a  
10 hybrid -- they also offer a diesel -- the hybrid's only  
11 7,000 more than the diesel.

12 Here are two slides. And I'm going to flip back  
13 and forth a whole bunch. So this is one, the other -- two  
14 different scales, which are complicated. But it looks  
15 really messy if we put all five on the same slide.

16 Showing Class 4-6 fuel efficiencies orange is  
17 hybrid, black is diesel, blue is natural gas. They're from  
18 about 7 to 11 miles per GGE, so converted to diesel for GGE  
19 as well. And here gasoline is green and battery-electric  
20 red. Range from about 6 1/2 miles a gallon to well over  
21 20.

22 Electric truck is impressive reaching over 22 MPG  
23 in all cases, even over 30 with the Phase 2 fuel  
24 efficiency. However the clump of four other trucks -- so  
25 we through the gasoline at 7-ish into this one -- still

1 shows quite a range from gasoline at about 7, diesel-  
2 electric hybrid at over 10. And as always the Phase 2, the  
3 dotted line creeps up a bit, that's the low case. And the  
4 high alternative fuel vehicle case.

5 So, here I show just the diesel-electric hybrid.  
6 It gains between something like 9 percent and 17 percent of  
7 market share by 2026. But again, the cases are scrambled.

8 Diesel and natural gas in this case behaves as  
9 expected, but the Phase 2 fuel economy and low vehicle cost  
10 here boosts the low demand case hybrid more. And so that  
11 top line is actually in combination the identical or nearly  
12 identical high alternative fuel vehicle case with the low  
13 demand case.

14 The middle line, the blue line, is high demand.  
15 The solid black line at the bottom is the mid demand.

16 So combining two of the classes, 3 with 4-6 we  
17 see new trucks for the 4-6 battery-electric alongside the  
18 Class 3 E85 truck. Truck stock of these might be higher if  
19 we included both of these in both of these classes.

20 We basically wanted to see whether this model  
21 would fly with something besides diesel and natural gas.  
22 And also if we put the alternative fuels into maybe the  
23 best class for them to see if they would get off the  
24 ground, and in fact they do.

25 Since the spreadsheet form of the Argonne Truck

1 Models is limited to one baseline truck, three  
2 alternatives, had to make some arbitrary choices about what  
3 fuel type goes with what truck class. The E85 truck  
4 gathers some share of Class 3 even when introduced after  
5 2020. Predicted market share continues to increase after  
6 2026 pretty dramatically, but we're not showing that.

7 As you can see we split the Class 3-6 trucks into  
8 three graphs. And I'll flip quickly -- oops -- that's the  
9 first one. This is the second and third. So we're going  
10 to work on this one.

11 Natural gas adoption is higher than hybrid in  
12 these three cases, but in the low demand case they're  
13 pretty close. That's the dashed line. And they're in  
14 funny order. The low case only and really it's just the  
15 hybrids that are off there. The take away here is that  
16 both continue to grow in market share even side-by-side.

17 So despite economic growth in the same period,  
18 the huge numbers of diesels taper off by about 30,000 for  
19 each of the three common cases. The less expensive  
20 gasoline truck in Classes 4-6 may persist where users  
21 generate really low annual miles. They don't use those  
22 trucks, they might not affect the fuel demand as much.

23 COMMISSIONER SCOTT: But Bob, before you go on to  
24 that part, you mentioned that the cases in some examples  
25 are a little bit scrambled like on, I think its slide 17,

1 the 2 of 3, that you showed. So the low case is actually  
2 higher than the mid case.

3 Could you repeat again kind of what your thinking  
4 is causing that scrambling?

5 MR. GAGE: What's going on?

6 COMMISSIONER SCOTT: Yeah.

7 MR. GAGE: Well, okay. So in this model, we  
8 actually had five fuels up against each other. And the  
9 vehicle price cases from Sierra Research were used for the  
10 low and mid case or I'm sorry, for the low case. And we  
11 used an in-house estimate for the high and mid cases.

12 The fuel economy flipped. We put their fuel  
13 economies in the low and mid case. And that mid case sort  
14 of went where it went, but I think it's the interaction of  
15 fuel price, fuel economy, vehicle price that's really  
16 causing this when you compare five types together.

17 It functions a little differently than the light-  
18 duty vehicle choice models. But I'd love to drill down  
19 into this. I look forward to having the time to drill down  
20 into this, so let's leave that as an open question. It's  
21 real factor in the models. I played with sensitivities and  
22 this is how it came up. So we'll do that.

23 COMMISSIONER SCOTT: Thanks.

24 MR. MCBRIDE: Sure.

25 So trucks over -- last turn to the heavy trucks



1 over 26,000 pounds, the upper left is what we'll call a  
2 straight truck or a single unit truck. Upper right, a day  
3 cab tractor trailer, lower left and right a sleeper cab  
4 tractor trailer and a refuse truck respectively.

5 Long haul trucks took a fuel efficiency bump, up  
6 in 2014 with Phase 1 Standards and will take another to  
7 follow 2017.

8 The compression-ignited Cummins natural gas  
9 engine we anticipate will appear in the market when diesel  
10 prices go up. We start it in 2016. Note that the Cummins  
11 fuel economy mirrors, and is very close to diesel, not  
12 having that 15 percent fuel efficiency penalty, borne by  
13 the spark-ignited natural gas engines. So it doesn't  
14 matter whether you're CNG or LNG. It's all natural gas in  
15 the engine. What matters is whether it's spark ignited or  
16 compression ignited.

17 Low demand case, Phase 2 Fuel Economy Proposed  
18 Rule, the solid lines, upward after 2020. It's pretty  
19 amazing for the heavier trucks, it's dramatic. We've been  
20 asked, "Can you defend this?" Well, yes.

21 We'll see whether these rules get codified, get  
22 approved.

23 Okay. These are maybe the two most interesting  
24 slides. Market success is influenced by vehicle prices,  
25 sure. Solid lines are adoption rates. And the dashed

1 lines show LNG truck prices minus the diesel truck price,  
2 so an incremental price.

3 So in the low and mid demand cases for 2016 if  
4 the diesel costs 1,000 then the LNG must cost 160,000.

5 High AFV and high demand cases represented by the  
6 dashed red truck price difference, decreasing with time,  
7 results in the solid blue and the red adoption rates. The  
8 higher price difference the lower the LNG adoption.

9 So here we look at the same adoption curve, the  
10 same four adoption curves as solid lines shown in this time  
11 and contrast to the difference between diesel and natural  
12 gas fuel prices. So the diesel price is usually higher,  
13 but you can see in that green line that it gets -- actually  
14 is lower until about 2022.

15 The highest difference, dashed blue, results in  
16 the highest adoption, solid blue and so one.

17 So the fuel economy for the refuse and recycling  
18 trucks looks like the long haul trucks with two exceptions.  
19 Garbage trucks stop frequently, get very low fuel economy.  
20 Also the spark-ignited natural gas engines have the 15  
21 percent fuel penalty -- so what happens? Nonetheless,  
22 letting the market speak and work out for refuse and  
23 recycling trucks as the adoption rates for natural gas hang  
24 around current levels in the high demand case and rise to  
25 almost 90 percent in the low demand case.

1 Diesel dominates the Class 7 and 8 single unit  
2 trucks. I'm just pulling out natural gas here. But  
3 natural gas truck numbers in three cases -- well, let's  
4 see. Diesel dominates the 8 and 8 single -- oh, I'm sorry  
5 -- natural gas is the only one we're looking at, sorry.  
6 The natural gas truck numbers triple in three cases or in  
7 the three common cases, and they grow over an order or  
8 magnitude in the high alternative fuel case.

9 During 11 years of economic growth the number of  
10 Class 7 and 8 single unit trucks grows at a far slower rate  
11 than the economy. The high alternative fuel vehicle demand  
12 case shows a marked decline in the number. That's that  
13 dual line that sort of takes a lower trajectory.

14 And that's us. I'd like to take questions or  
15 comments now. Thank you.

16 COMMISSIONER SCOTT: I asked mine as we went  
17 along.

18 COMMISSIONER MCALLISTER: Great. Thanks very  
19 much.

20 MR. MCBRIDE: Yeah.

21 COMMISSIONER SCOTT: Thank you.

22 MS. RAITT: Thanks, Bob.

23 Next is Aniss Bahreinian.

24 MS. BAHREINIAN: What we are going to show in  
25 this presentation is the forecast of transportation energy

1 demand. We have talked about all the different sectors  
2 like residential, commercial vehicles in both light-duty  
3 and heavy-duty. We also have talked in previous  
4 presentations about light-duty vehicle, for instance, in  
5 the government and rental sectors. And this presentation  
6 now is going to present a forecast of energy demand by all  
7 of these different sectors.

8           What we need to notice here is that one, as was  
9 shown actually in different presentations, why the  
10 population of vehicles typically grows with population and  
11 the economy. As the economy moves, as incomes grow, then  
12 so does fleet size or total population of light-duty  
13 vehicles as well as the heavy-duty vehicles and while those  
14 populations typically grow, with it also the VMT is going  
15 to grow.

16           So over time we have seen that total VMT in the  
17 State of California has been growing. Although when we are  
18 comparing it to the population and you get the per capita  
19 VMT we see that there are some declines. But our models do  
20 not accommodate some of the policies such as SB 375 that  
21 work on different land use plans aimed at reducing the VMT  
22 for the general public.

23           But if you look at the total VMT, which is really  
24 a foundation of fuel use, we see that total VMT grows,  
25 total stock of vehicles grow, over time. So the point here

1 is that what causes the decline in fuel demand or in  
2 transportation energy demand is mostly the substitution  
3 between different fuels and the improvements in fuel  
4 efficiency.

5           So if you go the next slide this is a general  
6 presentation of nominal prices. These are not real prices,  
7 like in the past we used 2013 prices, these are nominal  
8 prices. And they put them right next to the fuel economy.  
9 And the fuel economy that you see here is actually  
10 specifically California. It is sales-weighted average for  
11 the State of California.

12           As you can see here the blue line represents the  
13 nominal gasoline prices and the green line represents the  
14 new vehicle sales MPG. You can see here that MPG continues  
15 to grow over time. You can also see that over all the  
16 increases in prices we see an increase in MPG. That is  
17 when it is more costly for people to drive their vehicles.  
18 They tend to choose the more fuel efficient vehicles.

19           You can also see, for instance, that as the  
20 prices come down consumers are going to start buying --  
21 they relax on their purchases of new vehicles -- they kind  
22 of shift to the less efficient vehicles.

23           If you notice, for instance, in 2014 you had the  
24 decline in gasoline prices, gasoline and diesel prices.  
25 Notice that the fuel economy, the average fuel economy,

1 also is declining somewhat. And this is in response to the  
2 lower fuel prices. It kind of makes people more relaxed in  
3 their choices of vehicles. They would use the less  
4 efficient larger classes of vehicles.

5 Now, these choices do not happen all in the same  
6 period. They could also take some time, because vehicle  
7 purchases are capital expenditures. And we don't  
8 automatically go out the door and buy new vehicles. It may  
9 take us a while.

10 This here, the graph that you see here, is the  
11 sales-weighted average. They may wait a year to buy that,  
12 but they do that anyway. If they see that gasoline prices  
13 continue to rise, if that's their expectation, then they  
14 are going to continue to buy the more fuel efficient  
15 vehicles. And as fuel efficiency goes down fuel -- I'm  
16 sorry -- as fuel efficiency goes up fuel consumption goes  
17 down.

18 So here is our on-road gasoline demand. As you  
19 can see here in almost all of the cases gasoline demand  
20 goes down. So even if the stock could be increasing  
21 somewhat you could still see that gasoline demand goes down  
22 and mostly that is because of the increase in fuel  
23 efficiency of the new vehicles.

24 If you look at the very low case here, the lowest  
25 lines -- of course all of these lines are intersecting each

1 other -- if you look at the lowest line you can see that  
2 starting from 2015 with about 15 billion gallons of  
3 gasoline, by the end of the forecast period around 2026, we  
4 fall below 10 billions of gallons.

5 If the trend continues along the same line, and  
6 if you extend it to 2030, you could see that you kind of  
7 get close to what Governor Brown wants. In the new  
8 Executive Order he wants the petroleum fuel demand to  
9 decline by about 50 percent. So you can see that if you  
10 continue that line you get closer to what is in that  
11 Executive Order.

12 When it comes to the diesel demand, on the other  
13 hand, you could see that in the beginning at least diesel  
14 demand starts increasing, continues for a few years through  
15 2019, but after that it sort of stabilizes, kind of. Not  
16 exactly, but it definitely doesn't increase at the same  
17 rate that it increases before 2019.

18 We have incremented a lot of the Fuel Efficiency  
19 Phase 1, Phase 2 Regulations in our forecast. In addition  
20 to that, we also have accounted for the growth of natural  
21 gas vehicles in our forecast.

22 And so you could see that, actually in two of the  
23 cases, towards the end you see actually a decline in  
24 consumption of diesel. Diesel demand, you should say, is  
25 primarily in the heavy duty sector. And it is primarily in

1 transit and freight systems. So with the growth in the  
2 economy there's going to be growth in these activities.

3 As it relates to E85 I want to first bring your  
4 attention to the fact that E85 here is really E85. It's  
5 not ethanol, because as many of you know 10 percent of  
6 gasoline is really ethanol. That's not what we are  
7 counting here. And in the previous graph, when we are  
8 talking about gasoline we are talking about finished  
9 gasoline; it includes that 10 percent ethanol.

10 The E85 here is actually the E85. So who is  
11 using that?

12 Number one, in the light-duty sector we have flex  
13 fuel vehicles that can -- where the consumers have a choice  
14 between E85 and gasoline. Our model doesn't incorporate  
15 that choice in it, so we are going to have to do some kind  
16 of post processing in order to separate out how much of it  
17 is E85 and how much of it is gasoline.

18 So starting about 2014, in 2014 if you look at  
19 ARB's estimate of E85 consumption, and if you look at the  
20 total number of flex fuel vehicles, when you divide the  
21 total E85 by the total number of FFVs in 2014 we get  
22 something along ten gallons a year for each vehicle.

23 One can imagine that vehicles do not use ten  
24 gallons of fuel in one year. So you can imagine that  
25 majority of the fuel consumed by the flex fuel vehicles are



1 actually gasoline and for good reasons. We don't have an  
2 extensive E85 station across the State.

3 And in previous years there has been some  
4 indication that sometimes consumers are not even aware that  
5 they have purchased a flex fuel vehicle even if there is a  
6 station.

7 So what we do here in order to make an estimate  
8 of how much E85 you are going to have over the forecast  
9 period we take E85 in 2014, and then we gradually increase  
10 the share of E85 for the flex fuel vehicles over the  
11 forecast period and beyond that, so that we reach a 50-50  
12 divide in 2050. That is by 2050 our assumption is that 50  
13 percent of the fuel used by flex fuel vehicles is E85 and  
14 50 percent is gasoline.

15 So in this case as you can see -- while we cut  
16 that of course by 2026, because that's the end of our  
17 forecast period -- and as we can see here that there is an  
18 increase over the entire period in part because we are  
19 pushing that choice on to our consumers. Again, the model  
20 by itself does not accommodate fuel choice between the E85  
21 and gasoline we exogenously force that choice to the  
22 consumers.

23 And by the way, we have also in the E85 -- in the  
24 heavy duty sector we have also dedicated E85 vehicles. And  
25 obviously when it comes to dedicated E85 vehicles they

1 don't have a choice but to use E85. So the flex fuel  
2 vehicles in the light-duty sector have a choice between  
3 gasoline and E85, but dedicated E85 vehicles in the heavy-  
4 duty sector have no choice but to use E85, so all of those  
5 have been accounted for here.

6 This is a transportation electricity demand  
7 forecast. This adds up all of the electricity that is used  
8 in all the different sectors for transportation purposes.  
9 Most refer the movement of people from one location to  
10 another location. This includes light train. This  
11 includes trolley buses. This includes the EVs that were  
12 discussed in the heavy-duty sector, the BEV buses, and this  
13 includes EV trucks. And it also includes all of the PEVs  
14 that we have in our demand forecast of light-duty vehicles.

15 This is predominantly light-duty vehicles. The  
16 other ones do not have as big a share.

17 As you can see here, and we have been saying, our  
18 three common demand cases in the high energy demand. We  
19 have high EVs, high PEVs, but even higher than that is the  
20 high alternative fuel and vehicle scenario. You can see  
21 that in the high AFV we have the highest demand for  
22 electricity. Just as in our light-duty vehicle sector the  
23 highest number of ZEVs and PEVs are happening in the high  
24 AFV demand case, which is the sixth scenario we created  
25 this year.

1 COMMISSIONER SCOTT: Aniss?

2 MS. BAHREINIAN: Yes?

3 COMMISSIONER SCOTT: On this one I think it would  
4 be helpful to also have the megawatt hours on one of the  
5 graphics. In that way, when people are trying to cross-  
6 walk between the transportation one and the electricity  
7 one, they can have an easy comparison.

8 MS. BAHREINIAN: Absolutely. You're absolutely  
9 right. One of the reasons why we use DGE is it's like our  
10 common currency, because we want people to be able to  
11 compare different fuel consumptions with each other.

12 COMMISSIONER SCOTT: I agree.

13 MS. BAHREINIAN: But our sister unit or office,  
14 when they are presenting their forecasts, they always use  
15 gigawatts and megawatts.

16 COMMISSIONER SCOTT: Right. I think for this one  
17 it would be helpful to have both.

18 MS. BAHREINIAN: Yes, absolutely.

19 COMMISSIONER SCOTT: Yep.

20 MS. BARHEINAN: Both of them

21 COMMISSIONER SCOTT: Thank you.

22 MS. BARHEINAN: Thank you.

23 When it comes to transportation natural gas most  
24 of the activities here, just as in diesel, happens in the  
25 heavy-duty sector. We don't have too many uses for natural

1 gas demand in the light-duty vehicle sector.

2 As was discussed in different scenarios for heavy  
3 duty we have used the Truck 5 Model, because we do not have  
4 a vehicle choice model for heavy duty. So instead we have  
5 relied on other models in order to estimate a market  
6 penetration rate for natural gas vehicles, for heavy-duty  
7 vehicles.

8 In 2013, and in the preliminary forecast, we have  
9 been relying on National Petroleum Council's use of Truck 5  
10 Model on coming up with a penetration rate.

11 National Petroleum Council also used in their  
12 report the prices that were forecast by EIA in 2011, I  
13 believe -- the 2011 forecast of prices by EIA. You can  
14 imagine that 2011 forecast had decent prices, very high,  
15 natural gas was low. And therefore NPC's report had a  
16 higher penetration rate for natural gas vehicles.

17 In our forecast obviously with the new price  
18 forecast, with the revised price forecast, we have a much  
19 lower diesel price. And therefore the differences between  
20 diesel and natural gas vehicles have shrunk compared to  
21 what we had in 2015 and what we had in the preliminary  
22 forecast.

23 And therefore you can see here that the total  
24 natural gas demand forecast for everything ranging from  
25 heavy-duty to light-duty, in transit sector and in the

1 freight sector, again we are achieving the highest natural  
2 gas demand forecast in the high alternative vehicles  
3 scenario or high alternative fuel vehicle demand case. We  
4 are achieving the highest percentage there, but still it is  
5 falling below 500 million GGE in 2026. And that is the  
6 highest number that we are forecasting.

7 I should also say that one of the limitations of  
8 the Truck 5 Model is that it doesn't allow you to go more  
9 than four fuel types in the modeling activity. So we can't  
10 really put all the different fuel types unlike our own  
11 model, our own light-duty vehicle choice model, where it  
12 allows all of the different fuel types to substitute for  
13 each other. The model, the Truck 5 Model, has that  
14 limitation. And so we are bound by the limitations of the  
15 model.

16 When it comes to transportation hydrogen demand  
17 forecast we are speaking entirely light-duty vehicles. So  
18 this is completely composed of the light-duty vehicles.  
19 And again, as you can see there, the highest hydrogen  
20 demand forecast goes with the high alternative fuel vehicle  
21 demand case followed by others.

22 You also see these kinks here and there? I'm  
23 sure you are noticing some of those kinks. It is because  
24 we also have applied the Governor's Executive Order. That  
25 is an order to the state agencies to purchase more of the

1 ZEV vehicles. So you can see here all these kinks.

2 And we are assuming a life of 11 years for  
3 government vehicles. We replace them after 11 years, so  
4 you can see that the fleet at the present time -- a lot of  
5 them are going to change hands or they are going to be  
6 replaced around 2023 or 2024 -- hence the reason for those  
7 kinks that you see in this thing. And a good portion of  
8 these hydrogen vehicles are in the government, because we  
9 are forcing government vehicles to move in that direction  
10 following the ZEV Regulations and the Governor's Executive  
11 Order.

12 COMMISSIONER SCOTT: I have one clarification for  
13 us to keep in mind as we go from here to the final, which I  
14 think is -- so on the transportation electricity demand  
15 forecast you mentioned that this includes all the  
16 electrified vehicles, so off-road, heavy duty, light-duty,  
17 all of that. And then on the transportation hydrogen it's  
18 just the light-duty vehicles. So I think when we put the  
19 graphs either in the report or someplace we'll kind of want  
20 to clarify which categories are included in each of the  
21 graphics.

22 MS. BAHREINIAN: Absolutely. I should also bring  
23 to your attention that the electricity demand does not  
24 include -- I should have mentioned that -- does not include  
25 the off-road. It does not include the off-road

1 transportation percentage, so I need to make that. Thank  
2 you for that reminder.

3 COMMISSIONER SCOTT: Okay.

4 MS. BAHREINIAN: When it comes to commercial jet  
5 fuel demand forecast we do have our own behavioral model  
6 that generates a forecast of aviation demand and jet fuel  
7 demand. However, this time around, we were unable to use  
8 it due to staff shortages and so one of our colleagues has  
9 used a simpler method that does not rely on behavior model  
10 to forecast a jet fuel demand.

11 And as you can see here the forecast year is that  
12 jet fuel demand will continue to grow, but at a slightly  
13 lower rate compared to past, because of the gains in the  
14 fuel efficiency. So even in the commercial jet fuel  
15 demand, even there we have increasing fuel efficiency, and  
16 increasing in fuel efficiency slows down the growth rate.

17 Now here is our off-road diesel demand forecast.  
18 Traditionally, as we have said, we have been forecasting  
19 off-road diesel not really -- and also gas -- not really  
20 because all of it happens in the transportation sector, but  
21 only because gasoline and diesel are primarily the  
22 responsibility of our unit to forecast. Not necessarily  
23 because all of these are transportation.

24 Much of this off-road diesel is also used in  
25 agriculture, in construction and elsewhere, so it is not

1 all transportation. And it is not all for movement of  
2 people. We made the attempt, this time around, to have a  
3 forecast of off-road transportation electrification, which  
4 was presented by Marshall Miller.

5 And for this forecast that you see here we are  
6 growing off-road diesel demand from what was in the EIA,  
7 which is what we have traditionally used. We used EIA's  
8 estimate of off-road diesel demand in California.

9 I should also bring to your attention that EIA  
10 includes rail and military in their off-road. We don't.  
11 We take those off, because we account for rail in our other  
12 models. And we also take the military out. And so this is  
13 everything that is in the EIA except for those two factors.

14 And we have grown this basically by the growth in  
15 the economy. So we say that as the economy grows,  
16 construction sector grows, agricultural sector grows,  
17 etcetera. And with it there is going to be a growth in  
18 diesel demand.

19 I should bring to your attention that these are  
20 unadjusted numbers, because we didn't have the  
21 transportation electrification in time to make adjustment  
22 to these, but in the final report we are going to have to  
23 subtract what has been electrified from these numbers. So  
24 please note that these are unadjusted off-road diesel  
25 demand forecasts.



1           How about electricity for high-speed rail? You  
2 have this estimate directly from High-Speed Rail Authority.  
3 This is what they estimate their energy consumption is  
4 going to be for high-speed when it kicks off in 2022. And  
5 we haven't added it to our own electricity demand. So the  
6 total electricity demand that you saw does not include  
7 that. But again, our sister unit, the electricity for  
8 electricity forecast, when they publish they are going to  
9 add this to the mid energy case and to their high  
10 electricity demand cases.

11           Questions, comments?

12           COMMISSIONER SCOTT: I asked all mine as you went  
13 along.

14           MS. BAHREINIAN: Okay. And you?

15           COMMISSIONER MCALLISTER: I'm good, thank you.

16           MS. RAITT: Thank you, Aniss.

17           So we'll go ahead and go on to public comments.

18           COMMISSIONER SCOTT: I don't have any blue cards  
19 here. Do we have any blue cards or comment from the room?

20           (No audible response.)

21           Okay. Do we have any one on the WebEx or the  
22 phone who would like to make a public comment?

23           MS. RAITT: Nobody on WebEx and so no, we don't.

24           COMMISSIONER SCOTT: Okay.

25           COMMISSIONER MCALLISTER: Do you have anything

1 you want to add?

2 COMMISSIONER SCOTT: Well I -- oh, sorry. Go  
3 ahead, Josh.

4 MR. CUNNINGHAM: Thank you. All right, if you  
5 don't mind --

6 COMMISSIONER SCOTT: Can you come up to the  
7 microphone please?

8 MR. CUNNINGHAM: Joshua Cunningham, Air Resources  
9 Board, thank you again for a chance to add a few more  
10 comments.

11 Just to clarify, Aniss, when you gave your first  
12 presentation, you showed costs. And I think when you  
13 answered earlier this morning you said that the incentives  
14 are handled in the analysis. You have fixed incentive  
15 value for all future years. But to clarify, the graphic  
16 that you showed did not include the incentives, right?  
17 That was just your assumed retail prices of the vehicles?

18 MS. BAHREINIAN: So those are the --

19 COMMISSIONER SCOTT: Aniss, can you use your  
20 microphone, please?

21 MS. BAHREINIAN: Sorry. Yes the prices, the 2014  
22 prices, which are the actual prices in 2014 that we used,  
23 those are what we refer to as transaction prices. And  
24 those are prices before the incentives.

25 MR. CUNNINGHAM: Okay.

1 MS. BARHEINIAN: And the incentives, as you know,  
2 some of them are monetary and some of them are non-  
3 monetary.

4 MR. CUNNINGHAM: Okay. That's helpful for  
5 clarification as we look at those two.

6 One of the issues that we're starting to look at,  
7 as we evaluate costs of the plug-in vehicles is the cost of  
8 the battery technology is coming down faster than we had  
9 expected, which is good. But then also for a good market  
10 mechanism the range of the vehicles are projected to go up  
11 in the next couple of years with the next generation of  
12 products.

13 So one of the things that you may want to  
14 consider is that as the kilowatt hours on the battery  
15 vehicles go up for range, even as the price of the kilowatt  
16 hours are coming down, the total price of the vehicle may  
17 not decline at the same pace or you may see a bump up as  
18 you assume that the battery size goes up.

19 So you may want to try to account for that if  
20 you're also making projections that the sales of the  
21 vehicles are going up in range, it needs to go up to see  
22 that happen. So we're wrestling with that ourselves in  
23 terms of how to project that, but I think we're going to  
24 try and account for that.

25 And the two last questions I had for Jesse on

1 your light-duty vehicle stock presentation. And maybe this  
2 comes back to Aniss, in your ZEV projections, but we know  
3 that in your low case that is below the ARB likely  
4 compliance scenario.

5 But even in your mid case as I looked at the  
6 break-down of the plug-in hybrids versus battery electrics,  
7 I believe that even in that mid case that is not in  
8 compliance with the regulatory plug-in hybrid cap and the  
9 need to have all electric vehicles be at a minimum  
10 threshold. So that's something that you may want to take a  
11 look at. That you have a very large amount of plug-in  
12 hybrids, but your battery-electrics and fuel cells may not  
13 be meeting the requirements of the regulation even in that  
14 mid case.

15 But Jesse, on your presentation on the stock,  
16 could you -- I'm curious as to why in 2015 all of your  
17 cases don't start at the same point in terms of today's  
18 stock. Is that because you use a previous year as your  
19 starting point and you haven't adjusted for today's  
20 conditions?

21 MR. GAGE: That is correct, Joshua. We use 2013  
22 as a base year and we actually forecast from that date.  
23 So 2015 there is already a small bit of divergence.

24 MR. CUNNINGHAM: Okay. All right, thank you.

25 COMMISSIONER SCOTT: Great. Thank you, Joshua.

1           Do we have any other comment in the room, just to  
2 double check? Okay and double checking no comment on the -  
3 - okay.

4           Well, let me -- and I'll let Commissioner  
5 McAllister make any closing remarks as well.

6           Thank you to the staff for the great  
7 presentations. We've come a long way between the  
8 preliminary and the revised, so I recognize the work and  
9 appreciate that very much. I also appreciate you keeping  
10 me appraised and updated at key points along the way, so  
11 that I can learn a lot more about this and continue to  
12 understand. So I wanted to say thank you.

13           I look forward to getting any additional comments  
14 that we get and getting kind of between the revised and the  
15 final, so thank you very much for that.

16           Let me turn to Commissioner McAllister.

17           COMMISSIONER MCALLISTER: Great. Yeah, so I  
18 won't repeat those, but agree with all of them.

19           I also want to thank Joshua for being here from  
20 the ARB. I think I really want to -- and I know that staff  
21 at the drop of a pin at every moment is also communicating  
22 with ARB and our other sister agencies, which I think is  
23 absolutely critical for this and all other issues that  
24 we're dealing with these days.

25           I would point out that one of our consistent

1 themes across the presentations here is that right around  
2 2020, '21, '22, '23, right in there, there are a lot of  
3 inflection points. And we have goals that are up here and  
4 current down here, so that makes a lot of sense.

5 But I think it really speaks to the fact that we  
6 have to keep our finger on the pulse of the marketplace  
7 going forward at each moment and really seeing what scale  
8 we're getting, how it's playing out, and really creating  
9 tight feed-back loops within this agency, across agencies,  
10 and just with our partners in the marketplace.

11 I know that Commissioner Scott is completely on  
12 top of this and knows all the people involved. But I think  
13 that as we move forward, over the next decade really I mean  
14 we're talking and beyond, we're sort of projecting a lot of  
15 big market movement in the next few years and with true  
16 scale starting to be achieved in the early '20s. And so  
17 really across the board with all the clean technologies  
18 we're talking about.

19 So that's very exciting. That's incredibly  
20 exciting. And it's very -- I think long term it's going to  
21 serve our state very, very well. And I'm really happy that  
22 we have the capable team that we have on this.

23 And I'm looking forward to making this an even  
24 more integral part of our various core forecasts. You  
25 know, the natural gas, the electricity for sure, and really

1 keeping on top of all the nuance.

2 So thanks again and we're adjourned.

3 COMMISSIONER SCOTT: And oh, sorry.

4 COMMISSIONER MCALLISTER: Okay. Go for it.

5 COMMISSIONER SCOTT: I did want to also say thank  
6 you very much to Joshua Cunningham for being here, and a  
7 good partnership between Air Resources Board and the Energy  
8 Commission on this. And encourage us to continue that as  
9 we get between revised and final.

10 And let me just -- can I turn it to Heather for  
11 next steps? And then I'll let you return.

12 COMMISSIONER MCALISTER: Oh, yes. Go for it,  
13 yes.

14 MS. RAITT: No. I'll just repeat what I said  
15 before that the comments, written comments, are due  
16 December 8th and information is here in the notice for the  
17 workshop on how to file comments.

18 COMMISSIONER SCOTT: Thank you.

19 COMMISSIONER MCALLISTER: We're adjourned. Thank  
20 you everybody.

21 (Whereupon, at 12:31 p.m., the workshop  
22 was adjourned)

23 --oOo--

24


25

**REPORTER' S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of December, 2015.

  
\_\_\_\_\_

PETER PETTY  
CER\*\*D-493  
Notary Public



**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of December, 2015.



---

Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852