

DOCKETED

Docket Number:	15-IEPR-03
Project Title:	Electricity and Natural Gas Demand Forecast
TN #:	207268
Document Title:	Transcript of 12/17/15 IEPR Commissioner Workshop
Description:	2016-2026 California Energy Demand Revised Electricity Demand Forecast
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	1/11/2016 10:09:23 AM
Docketed Date:	1/11/2016

CALIFORNIA ENERGY COMMISSION

In the Matter of:)	
)	Docket
<i>2015 Integrated Energy Policy</i>)	No. 15-IEPR-03
<i>Report (2015 IEPR)</i>)	
_____)	

**IEPR COMMISSIONER WORKSHOP
ON THE 2016-2026 CALIFORNIA ENERGY DEMAND
REVISED ELECTRICITY DEMAND FORECAST**

CALIFORNIA ENERGY COMMISSION
1516 Ninth Street
First Floor, Charles Imbrecht Hearing Room
Sacramento, California

THURSDAY, December 17, 2015

10:00 A.M.

Reported by
Shanalee Gallagher

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES

COMMISSIONERS

Andrew McAllister,
Lead Commissioner IEPR and Energy Efficiency

Robert B. Weisenmiller,
Lead Commissioner for Electric and Natural Gas

CEC STAFF

Heather Raitt, IEPR Program Manager

Thomas Gorin

Nick Fugate

Ashish Gautam

Lynn Marshall

Sylvia Bender

Malachi Weng-Gutierrez

Cary Garcia

PUBLIC

Ed Martinez, Southern California Edison

Ken Shermeyer, San Diego Gas & Electric

Aniss Bahreinian, Energy Commission

Nathan Bengtsson, Pacific Gas & Electric

Kala Viswanathan, Natural Resources Defense Council

I N D E X

	<u>Page</u>
Introduction	
Heather Raitt, IEPR Program Manager	4
Opening Comments	
Commissioner Andrew McAllister, Lead Commissioner for IEPR and Energy Efficiency	5
Chair Robert B. Weisenmiller, Lead Commissioner for Electricity and Natural Gas	8
Statewide Forecast Results and Methods	
Thomas Gorin, Energy Commission	11
Energy Efficiency	
Nick Fugate, Energy Commission	27
Distributed Generation	
Ashish Gautam, Energy Commission	41
Electricity Rate Scenarios	
Lynn Marshall, Energy Commission	54
Supplemental Time of Use Load Impacts	
Sylvia Bender, Energy Commission	68
Planning Area Forecasts	
LADWP - Malachi Weng-Gutierrez, Energy Commission	88
PG&E - Cary Garcia, Energy Commission	101
SCE - Cary Garcia, Energy Commission	107
SDG&E - Cary Garcia, Energy Commission	116
SMUD - Malachi Weng-Gutierrez, Energy Commission	125
Public Comments	134
Closing Comments	137
Adjourn	137
Reporter's Certification	137
Transcriber's Certification	139

P R O C E E D I N G S

December 17, 2015 10:00 a.m.

MS. RAITT: Good morning. So we're going to go ahead and get started here. Welcome to today's IEPR Commissioner workshop on the 2016 to 2026 California Energy Demand Revised Electricity Demand Forecast.

I'm Heather Raitt, Program Manager of the IEPR. I'll go over the housekeeping items.

There is a bathroom on the first floor.

If there's an emergency and we need to evacuate the building please follow staff to Roosevelt Park, which is across the street diagonally.

Our meeting is being broadcast by WebEx Conferencing System, so we are being recorded and there will be a WebEx recording out in a couple days and a written transcript in about a month.

We plan to have presentations this morning and then break for lunch around 11:45 and then have more presentations in the afternoon, and public comment at the end of the day.

If you'd like to make public comments please fill out a blue card, and when it comes time you can come over here to the podium and make comments.

1 For WebEx participants, you can use the
2 raise a hand button to tell our WebEx coordinator
3 that you'd like to make a comment during the public
4 comment period and for phone-in participants we'll
5 take comments at the end.

6 Materials for the meeting are at the
7 entrance to this room and available on the website.
8 Written comments are welcome and due on December
9 31st.

10 Commissioner McAllister has some opening
11 remarks.

12 COMMISSIONER MCALLISTER: All right. We are
13 testing out our new audio system here so hopefully it
14 works better than the last one.

15 So I'm Andrew McAllister, the lead on this
16 year's IEPR, also in energy efficiency. Very glad
17 that Chair Weisenmiller could be with us today as
18 well, because we all know the forecast is really one
19 of the absolutely foundational things that the
20 Commission does and it's very key, particularly key
21 this year and in the near future as we transition to
22 new and better ways and more granular ways of doing
23 the forecast, and as we lay the foundation for
24 implementation of SB350, a big, big deal for the
25 state, increasing scrutiny of the forecast process,

1 methodology and outlet. And at the same time, some
2 uncertainty about lots of potential data, lots of
3 information that could be brought into and utilized
4 in today's day and age, but obviously that increases
5 the possibility for us to gather all the different
6 pieces of information that come into planning for the
7 future and really take a long term vision of what we
8 want to do not just in this forecast but in the
9 subsequent forecasts every couple years as we
10 approach our quite impressive goals.

11 I want to highlight. You all know Paris came
12 and went and we ended up with some, I think,
13 groundbreaking agreements. And not that the content
14 of those agreements was particularly aggressive from
15 California's point of view. I think we have goals
16 that are appropriately aggressive for us and are
17 trying to lead. The Governor was there, a number of
18 members of the Legislature were there, and trying to
19 really up the profile of California as a state but
20 bring others along at the regional, subregional
21 level.

22 And a lot of the roads of the conversations
23 that California is leading lead back to the
24 forecasts. It's not exactly Rome but it's something
25 like that. And it's really key for us to meet our own

1 goals, and as a leader in the state we need to lay a
2 proper foundation so that we can actually hold it up
3 and say look, here's how we're doing things and
4 here's the road that we've mapped out and here's how
5 we're traveling along it. And other states and
6 regions and nations actually come along.

7 I was just in D.C. for the entire week up to
8 today, and really it's just everybody's working in
9 California. It's really the heightened profile we
10 have coming out of Paris is palpable. President Obama
11 is doing a lot and really was key to getting that
12 agreement done, and the Clean Power Plan and big
13 pieces of that at the national level are really
14 important, but a lot of the reason he is able to go
15 as far as he has gone is because California is there,
16 kind of showing it can be done. And the Clean Power
17 Plan is the big topic of conversation.

18 It's kind of funny in California it's like
19 oh yeah, it's great, but that's not really what's
20 grounding us. If we get our own goals, we're going to
21 knock the clean power plan goals out of the park.

22 So I guess what I'm saying is the context of
23 the forecast is much broader than maybe day to day
24 many of us realize and it is foundational for the
25 state across our agencies with the Air Resources

1 Board, the PUC and the ISO, and so working together
2 we're going to show whether it can be done, and the
3 forecast is one of the records and the text for
4 documenting how it is getting done now that it's
5 getting done.

6 So as we look forward that continuity from
7 forecast to forecast (inaudible) retrospectively and
8 working out the methodology to get where we need to
9 go. And as the context changes in the state it's
10 really important to keep in mind as we work through
11 this particular forecast.

12 So with that, I'll pass it on to the Chair.

13 CHAIR WEISENMILLER: Thanks to everyone for
14 being here today. As we get close to the holiday
15 season I was going to just reflect back on a couple
16 things as we move forward.

17 First, I remember early on in my energy
18 career talking to Dan Luden, he was recounting a tale
19 of a meeting between he and David Brower and one of
20 LVLs luminaries, and the LVL luminary had assured
21 them that you could more easily change the rate that
22 the Earth moved around the Sun than you could change
23 the rate of growth for electricity.

24 So having said that, looking forward at this
25 stage, when you look at our forecast, you're starting

1 to see ways we could really start moving the needle
2 quite a bit. Certainly looking at 802, looking at
3 758, looking at 350, what we're really trying to do
4 is convert a different vision and certainly the
5 vision that was articulated by Art Rosenfeld and Tom
6 Graff in the 70s that you could come up with actions
7 and trace back through the forecasting pool here to
8 basically change the electricity future.

9 So having said that, we're sort of going
10 through pretty much on very detailed in the programs.
11 As you look, huge changes in where we're looking at
12 the forecast going at this stage.

13 Obviously, we're in some respects running
14 out in front of the data we have, and I think
15 basically the message in part next year is going to
16 be more of a pause externally on the forecast because
17 we really have a chance to really go through
18 fundamentally back through some of the underlying
19 data, back through the methodology, and really be
20 enhanced so that as we go forward we're in a position
21 that we're very comfortable with these projections.

22 And certainly there's been some pretty
23 significant, you know, PUC's NAM decision this week,
24 the extensive solar tax credit, one of the real big
25 drivers in our forecast is the relatively rapid

1 growth in portable tanks.

2 So again I think as we go forward we have a
3 chance to really get more data on cost and what's
4 going on on the implementation but it's really
5 changing things quite a bit.

6 So as we go forward, next year we'll be more
7 or less recycling what we come out with from this
8 year, but the following year after that we're really
9 going to be digging in pretty deeply these issues.
10 It'll be pretty exciting at that point.

11 I would indicate one of these which again
12 just so everyone's pretty clear on is that as we are
13 going through the process we've been really staying
14 in pretty close communication with the PUC and CalISO
15 so that we can continue to really sync up forecasts
16 across the agencies.

17 So anyway, thanks for being here and it
18 should be an exciting day.

19 COMMISSIONER MCALLISTER: Thanks for
20 pointing out the PV that came out from the PUC on net
21 metering and I guess the preliminary read is that,
22 well, it's great for solar and I think they deferred
23 in that way some of the key discussions to the time-
24 of-use perform because that's where a lot of the
25 utilities are going to argue that they need to get

1 their distribution charges covered. So this
2 conversation, we're in the middle, it's a PD that's
3 not voted out but a lot of stuff's going to change
4 here in the next few years and the next full IEPR is
5 going to put us in a situation where we have more
6 information and can be a little less in the dark
7 about what the future actually holds in terms of the
8 economics about this.

9 CHAIR WEISENMILLER: Exactly. I guess we
10 should be clear that obviously this forecast doesn't
11 reflect last week's decisions, and in fact, as you
12 pointed out, the PUC proposed decision is close to
13 final and the time-of-use rate decisions are still
14 being worked through.

15 So there's a lot of other pieces that by the
16 time we dig into these things much more seriously
17 there will be a much better understanding of the
18 record.

19 MS. RAITT: Thank you. So our first speaker
20 was going to be Chris Kavalec, but unfortunately he
21 isn't available to be here today, and so we have Nick
22 Fugate and Tom Gorin are going to be giving his
23 presentation in his place.

24 MR. GORIN: Good morning, Commissioners. For
25 the record, my name is Tom Gorin, not Chris Kavalec.

1 Chris is on injured reserve, hopefully he's on the
2 phone and can answer the hard questions. So Nick
3 Fugate and Cary Garcia and myself are going to try
4 and muddle through the presentation. We spent about
5 four hours with him yesterday going over it, and I
6 think we understand most of it.

7 For those of you that don't know me, I'm a
8 retired annuitant here at the Commission and I've
9 been involved in the forecast in some capacity since
10 1978 so I have a little bit of history of what is
11 going on here. Except how to work a computer.

12 [Next Slide]

13 So the revised forecast has a new geographic
14 scheme which tries to adhere more closely with the
15 ISO balancing authority regions which Chris worked
16 with the ISO in developing.

17 Results, the baseline consumption is down
18 significantly compared to the 2014 forecast update,
19 because we have new standards in this forecast and
20 adjustment to the 2013 Title 24 standards for
21 existing buildings.

22 There is a much greater decrease in
23 electricity sales and peak demand because of higher
24 PV penetrations in this forecast.

25 We also include additional achievable energy

1 efficiency savings for IOUs based on the most recent
2 potential study, and for LADWP and SMUD to produce
3 managed forecasts for them.

4 COMMISSIONER MCALLISTER: You said this does
5 include downward adjustment for some of the work that
6 we've been doing through Title 24 on existing
7 buildings?

8 MR. GORIN: Yes, I believe so.

9 COMMISSIONER MCALLISTER: Okay. So maybe as
10 you go through this maybe some detail about to what
11 extent the existing buildings are included, whether
12 it's 758, Title 24 per se, or where the model of
13 savings from those initiatives come from.

14 MR. GORIN: Maybe Nick can address that or
15 Chris.

16 COMMISSIONER MCALLISTER: Okay. Just when we
17 get that on the table. If we can't get all answers
18 today that's fine.

19 MR. FUGATE: Maybe during the efficiency
20 presentation.

21 MR. GORIN: Nick is going to handle the
22 efficiency presentation.

23 COMMISSIONER MCALLISTER: Okay.

24 [Next Slide]

25 MR. GORIN: So this is a diagram of our

1 energy demand modeling system that has been around
2 for probably the past ten years. On the far left and
3 far right we have two new elements of it, though.

4 On the far left there's EV and natural gas
5 forecasting model it's done by (inaudible) and I
6 believe that workshop was two weeks ago to go over
7 the results of that.

8 And on the far right there's a self-
9 generation model which Ashish Gautam is going to go
10 over later today.

11 The other parts of this are essentially the
12 same as they have been in the past. The
13 disaggregation of residential, commercial, ag and
14 water pumping, TCU Street lighting and industry.

15 Going to the summary model we go to the peak
16 demand and hourly load model and come out with a
17 forecast for peak energy and sales.

18 [Next Slide]

19 We developed three baseline demand cases.

20 High demand case with higher economic and
21 demographic growth, high climate change impacts, high
22 EV case, lower electricity rates, and less self-
23 generation. And the higher economic growth came from
24 the global insight optimistic forecast.

25 The low demand case was lower economic and

1 demographic growth, no climate change impacts, low EV
2 case, higher electricity rates, and more self-
3 generation. The economics came from Moody's economic
4 baseline forecast and Moody's population forecast.

5 Moody's population forecast was also used in
6 the high demand case.

7 The mid demand case -- actually, the low
8 demand case was the Department of Finance population
9 forecast, I believe, which is lower than Moody's.

10 The mid demand case is assumptions between
11 the two cases. On the next round of forecasting we're
12 going to try and get Moody's to develop a high case
13 for us so it would be more consistent with the mid
14 and low cases.

15 [Next Slide]

16 These are a graph of the electricity
17 consumption. The new revised mid case is about 9,000
18 gigawatt hours lower than the 2014 update by 2025,
19 which is due to the existing Title 24 standards for
20 existing buildings, new Federal standards for water
21 using appliances, and a somewhat lower population
22 forecast.

23 You will note that the change in the slope
24 in history that the chairman was talking about from
25 2006 we're showing a little higher growth. In the

1 most recent growth it's definitely lower than the
2 growth rate from 1990 to 2006.

3 [Next Slide]

4 The electricity sales forecast is almost
5 20,000 gigawatt hours lower than the 2014 update.
6 This is by a greater assumption on PV introduction
7 and self-generation. And the bigger spread in this is
8 caused by a bigger spread in PV adoption assumptions
9 which Ashish will talk about later.

10 [Next Slide]

11 And baseline noncoincident peak forecast is
12 also about 7,000 megawatts lower than the 2014 update
13 by 2025. This has to do also with the PV adoptions.

14 The difference between 2015, this value in
15 history the weather normalized 2015, this was what
16 the 2014 update was when 2014 was the last year
17 history.

18 [Next Slide]

19 Baseline consumption per capita is projected
20 to decline slightly until probably about 2020, and
21 then the slight increase is due to an increase in
22 heating consumption assumptions.

23 [Next Slide]

24 This is the new geographic scheme.

25 Planning areas are now corresponding more

1 closely to the TAC and balancing authority sales. In
2 the past you had old utility planning area
3 definitions, which in the new scheme are more and
4 more obsolete.

5 We increased the number of forecasting zones
6 to 20. The new zones are trying to approximate the
7 ISO transmission zones within the utility service
8 areas.

9 And we're striving for some continued
10 refinement of the geographic areas in the
11 granularity, but we are limited somewhat by the
12 forecasts of economic drivers that is primarily only
13 available at the county level. There are some
14 counties where we can parse out metropolitan areas
15 within that county but most of the economic data is
16 only at the county level.

17 [Next Slide]

18 The old planning area scheme that we had was
19 PG&E, SCE, San Diego, SMUD, L.A., IID,
20 Burbank/Glendale, and Pasadena. And the ones that are
21 revised are in green.

22 [Next Slide]

23 PG&E, we eliminated the Turlock and the
24 Balancing Authority of Northern California, and DWR I
25 think was added. We took out Turlock and BANC.

1 SCE, we added Pasadena and DWR.

2 SMUD, we kept SMUD the same but for planning
3 purposes we have included SMUD within the new
4 planning area called...

5 MR. FUGATE: Northern California Non-ISO.
6 Northern California ISO.

7 MR. GORIN: Right. Sorry about that.

8 I've been fighting laryngitis so my voice is
9 going to go in and out.

10 COMMISSIONER MCALLISTER: Northern
11 California Non-ISO, is that only SMUD or is that...

12 MR. FUGATE: (inaudible)

13 MR. GORIN: And Pasadena got moved into
14 Edison.

15 MR. FUGATE: (inaudible)

16 MR. GORIN: So essentially our old PG&E
17 planning area becomes PG&E TAC area, and SCE planning
18 area becomes SCE TAC area.

19 Northern California entities which we were
20 just discussing not in ISO are combined with SMUD to
21 this new NCNC planning area.

22 So the other planning areas are as before.

23 [Next Slide]

24 This is a table of the forecast zones within
25 the TAC areas. So now the PG&E TAC area consists of

1 six forecast zones where in the past it was five,
2 which I think these six more closely resemble the ISO
3 balance authority areas.

4 L.A. is still four climate zones but they're
5 a little -- the definition is a little different than
6 it was previously. Now it's five climate zones
7 instead of four.

8 San Diego is still San Diego.

9 Non-CAISO Northern California is broken into
10 SMUD, Turlock, and the rest of the BANC control area.

11 And L.A. is the way it was before, Coastal
12 and Inland.

13 Burbank and Glendale are still there, and
14 Imperial is there, and Valley Electric is its own
15 planning area and forecast zone.

16 [Next Slide]

17 This is a map developed by cartography,
18 planning areas more defined in a bigger scale. It's a
19 little hard to see but it's a breakout of those
20 planning areas, and these are the forecast zones.

21 One thing that I might mention, and somebody
22 can correct me if I'm wrong.

23 For the energy consumption and sales
24 forecast, the forecast that's for California, the
25 geographical definition of California. But for the

1 peak forecasts for purposes of ISO is for the ISO
2 region which indicates that Valley Electric includes
3 a portion of Nevada. In future forecasts, I believe,
4 may include PacifiCorp, which is going to be a few
5 other states outside of California, so there's a
6 geographical difference in definition between energy
7 and peak forecasts.

8 [Next Slide]

9 These are the economic and demographic
10 assumptions. The high demand case is Global Insight
11 Optimistic. Mid case is Moody's Baseline. Low demand
12 case is Moody's lower long-term growth scenario with
13 the Department of Finance population.

14 Two differences from the update are the
15 number of households and employment. I believe in the
16 update we used household projections that were
17 developed in-house.

18 MR. FUGATE: Yeah we developed them and
19 Department of Finance.

20 MR. GORIN: This time we're using Department
21 of Finance and Moody's household projections because
22 they both have them available now and they are
23 different.

24 [Next Slide]

25 So this is the new number of households

1 forecast. Both the revised high and mid demand
2 forecasts are above what the low demand forecast. And
3 this is the difference between Moody's projections of
4 households and basically the Department of Finance
5 projection of households.

6 This is from my ancient history. I believe
7 what is going on is that Moody's is using the Census
8 interim projections. In 2010 the Census and
9 Department of Finance started at the same place and
10 they have different opinions on the interim growth in
11 interim years, and we're about half-way to 2020 and
12 Department of Finance is projecting that we have had
13 lower growth than the Census has and when we get to
14 2020 we'll figure out which one's right and make
15 adjustments. As we did in 2010.

16 MR. FUGATE: Tom, just mentioned that there
17 are two scenarios here because the Global Insight was
18 so close to Moody's that we just classed those in one
19 for the high and mid demand case.

20 MR. GORIN: Yeah, because I believe both
21 Global Insight and Moody's both use Census
22 projections.

23 [Next Slide]

24 This is the non-ag employment, which are all
25 slightly higher than the 2014 update. The mid case is

1 about a million higher.

2 [Next Slide]

3 Self-generation, Ashish is going to go into
4 in more detail later and talk about his model. So
5 it's traditional electricity generation displaced by
6 private supply used onsite such as small scale
7 adoption and larger power plants, which are tracked
8 in a database.

9 MR. GAUTAM: Yes, the large power plants
10 report to us because of requirements. One megawatt or
11 larger.

12 MR. GORIN: And the residential and
13 commercial are developed by the predictive model,
14 developed in-house?

15 MR. GAUTAM: Yeah.

16 MR. GORIN: We're modeling using actual load
17 shapes and tiered rates for IOUs, whatever those
18 tiered rates turn out to be.

19 [Next Slide]

20 This is our new assumptions on PV energy,
21 which are all higher than the update demand case and
22 this is the spread in the new load, mid and high is
23 caused by different assumptions on tiered rates and
24 energy metering.

25 MR. GAUTAM: Yes, the differences between

1 the two scenarios is driven by assumptions on PV
2 cost. We've had lower system cost in the low demand
3 and slightly higher in the high demand. And then we
4 also assume that with the low demand you'll have full
5 retail credit for exports, and then the high demand
6 case will be something a lot lower, more like a
7 wholesale rate and a fixed charge based on the system
8 (inaudible).

9 [Next Slide]

10 MR. GORIN: And a similar spread for peak
11 impacts, all higher than the 2014 forecast update.

12 [Next Slide]

13 The EV revised forecast, we used a new EV
14 forecast, and I believe there was a workshop on that
15 a couple of weeks ago.

16 Mid demand case is consistent with CARB's
17 most likely compliance.

18 Low case is purely model driven.

19 High case assumes faster decrease in EV
20 prices, so a greater adoption.

21 And the distribution of EVs was distributed
22 to planning areas based on regression analysis and
23 climate zones using regression analysis.

24 [Next Slide]

25 The light duty EV electricity consumption

1 forecast is slightly lower than the previous mid
2 demand case, I believe, about 400 gigawatt hours.

3 [Next Slide]

4 And this is our new assumption of vehicles,
5 the spread, and I believe that was discussed in a
6 workshop.

7 [Next Slide]

8 We also have additional electrification
9 based on a UC Davis consultant study through Aspen.
10 We examined shore power, truck stops, airports,
11 forklifts, and truck refrigerator units.

12 The additional electrification was based on
13 current trends and CARB legislation.

14 We developed high, mid, and low cases, and
15 spent time determining what portion of that
16 electrification was incremental to the CED revised
17 forecast, and made splits between the TCU commercial
18 and industrial.

19 [Next Slide]

20 These are the results in gigawatt hours. The
21 mid case is adds about 800 gigawatt hours to the
22 total state forecast. The high is about 1500, and the
23 low is a little over 200.

24 [Next Slide]

25 Electricity rate cases, which will be

1 discussed by Lynn Marshall a little bit later with a
2 new staff model developed using revenue requirements
3 to allocate to rate classes to calculate average
4 rates.

5 And she can discuss the high, mid, and low
6 cases.

7 Currently in the mid case we're projecting
8 rates to increase between 10 and 20 percent to 2026.

9 [Next Slide]

10 Climate change impacts in the forecast are
11 based on scenarios developed by Scripps. They gave
12 us, I believe, nine cases and we took the median of
13 those cases using -- ten? I always like odd numbers.

14 They're incorporating the residential and
15 commercial consumption forecasts using change in
16 degree days over time.

17 They incorporated the peak forecast using
18 increases in maximum temperatures by climate zone.
19 And we have for the high and mid cases. For the low
20 case we assume no climate change.

21 So we used median impacts of the two sets of
22 scenarios we had.

23 Chris sent me a note last night that climate
24 change peak impact, the maximum temperature rise of
25 the planning areas was half a degree Fahrenheit for

1 the mid case over the next ten years and three-
2 quarters of a degree in the high case over the next
3 ten years.

4 [Next Slide]

5 This is the result of climate change impacts
6 on consumption. Mid demand is 700 gigawatt hours over
7 the forecast period, and high demand is a little over
8 800.

9 [Next Slide]

10 And the increase on peak is 500 megawatts
11 for the state and a little less than 800 on the high
12 demand forecast.

13 [Next Slide]

14 The demand response in the forecast includes
15 load modifying demand response. Items like permanent
16 load shifting and TOU rates. Event-based, critical
17 peak pricing and peak time rebates. These results are
18 based on utility filings.

19 Total impact to the demand response in the
20 revised forecast is a reduction of about 270
21 megawatts in 2026.

22 Future forecasts may include more load
23 modifying reductions depending on PUC decisions that
24 aren't out yet.

25 And there's a joint TOU analysis that's

1 underway that's not incorporated in the forecast as
2 of now.

3 With that, I think I'm going to let Nick
4 Fugate go over the energy efficiency part, if there
5 are no questions on what I've presented so far.

6 COMMISSIONER MCALLISTER: I think we're good
7 for now. Thanks.

8 MR. FUGATE: Thanks, Tom. I'm Nick Fugate.
9 I'm with the Energy Assessments Division, formerly of
10 the Demand Analysis Office, so I'm familiar enough
11 with the process that the DAO goes through to
12 incorporate efficiency into their forecasts, and
13 removed long enough that I'm not sure I know all of
14 the details but I'll try to get to your question,
15 Commissioner.

16 [Next Slide]

17 So I'm going to start off, though, by
18 reminding everyone that the forecast distinguishes
19 additional achievable efficiency from committed
20 efficiency. And the committed impacts are those
21 resulting from actions that have already taken place
22 or that are about to. A standard that has been
23 implemented, for example, for a program that will be
24 offered next year that has already had funding set
25 aside and has a detailed implementation plan already

1 in place, and we can use those to assess what the
2 impacts would be on the baseline demand forecast. So
3 those are committed efficiency savings.

4 And for CED 2015 Revised we considered some
5 new savings measures, notably the 2016 appliance
6 standards. Also some Federal standards that Navigant
7 had assessed as part of their potential and goals
8 study, but enough time has passed that those have now
9 been from AAEE into the baseline forecast, and I'll
10 call out one in particular.

11 A Federal standard on distribution
12 transformers, which I'll talk about a little bit more
13 in the AAEE portion of the presentation.

14 [Next Slide]

15 So when you accumulate all the savings from
16 program standards and committed price effects, you
17 get something that looks like this. There's very
18 little variation in the scenarios due in part to
19 rates and building stock and floor space operating in
20 different directions.

21 For example, the high demand case has low
22 rates so there are less price effect savings, but it
23 also has more buildings and just more stuff, so that
24 drives savings in the other direction.

25 And the opposite is true for the low demand

1 case, so that just pushes all of the scenarios closer
2 together.

3 [Next Slide]

4 So this depiction here assumes a counter
5 factual in which efficiency would have persisted at
6 1975 levels absent any standards.

7 I really like the colors on this chart, it
8 has a nice cool feeling to it.

9 [Next Slide]

10 So this is just the standards portion of the
11 cumulative savings. These grow from about 44,000
12 gigawatt hours in the base here to about 80,000 by
13 the end of the forecast period.

14 [Next Slide]

15 So up to this point in the entire
16 presentation we've been talking so far about the
17 baseline forecast and all those committed savings are
18 accounted for explicitly in baseline scenarios, but
19 we also for this forecast have additional achievable
20 efficiency, or AAEE, and these are scenarios that
21 considered efforts that are reasonably likely to
22 happen but that still have too much uncertainty
23 surrounding their exact implementation to be
24 incorporated explicitly in the baseline forecast.

25 [Next Slide]

1 Since AAEE is incremental to the efficiency
2 savings considered in the baseline scenarios, the two
3 can be combined to create a managed forecast. The
4 next few slides describe the process that we went
5 through to craft these AAEE scenarios.

6 At the high level we start with Navigant
7 newly completed potential study. That study includes
8 standards all the way back to 2005, so the first part
9 of the process was we had to go and remove all the
10 standards impacts from the potential results that we
11 had previously incorporated in the baseline
12 scenarios. That is all the Title 20 and Title 24
13 standards through 2016.

14 And the study also included some behavioral
15 savings, and what we did for that is, since our base
16 forecast is calibrated to actual demand, we took
17 those behavioral savings projects and made them
18 incremental (inaudible).

19 COMMISSIONER MCALLISTER: Is that a new, is
20 accounting for behavioral savings new to this
21 forecast?

22 MR. FUGATE: Actually, I don't remember if
23 we did that in the last AAEE.

24 COMMISSIONER MCALLISTER: I don't remember
25 us doing it.

1 MR. FUGATE: Yeah, they're not very big so
2 it could be that it was done but we didn't talk about
3 it. I think even now it's not a huge amount of
4 savings.

5 [Next Slide]

6 So initially we developed nine scenarios and
7 presented them to DAWG and JASC, that's the Joint
8 Agency Steering Committee, representatives from ISO
9 and CPC and the Energy Commission. And with their
10 input and direction, those nine scenarios were pared
11 down to just the five that you're seeing here.

12 One scenario uses the high baseline
13 assumptions, one uses the low baseline assumptions,
14 and then three use the mid baseline assumptions.

15 When I first saw this slide, I stumbled over
16 it a little bit. We previously used the term mid
17 baseline, mid AAEE to describe managed forecasts,
18 like mid baseline paired with mid AAEE. But here what
19 I'm talking about is just the inputs that were used
20 to develop the different AAEE scenarios, which might
21 be made a little clearer here.

22 [Next Slide]

23 So here are basically all of the categories
24 of assumptions that were wrapped up into those five
25 scenarios, inputs like building stock and retail

1 prices are made to be consistent with one of the
2 baseline demand scenarios. And that first row in red
3 describes which baseline scenario we're talking about
4 in each column.

5 On top of that the savings scenario is allow
6 to vary, and that's the second blue row there, and it
7 has more to do with what the efficiency landscape
8 might look like over the next decision. For example,
9 how many Title 24 updates might we expect to see, so
10 the high savings scenario has more standards updates.

11 [Next Slide]

12 So those five scenarios were presented to
13 DAWG, the Demand Analysis Working Group, and they
14 pointed out that the peak savings seemed unusually
15 high relative to the energy savings.

16 [Next Slide]

17 We looked into that and found two causes.
18 The first being that Federal distribution transformer
19 standards that I mentioned earlier which had a very
20 high peak to energy ratio. And I think I had a note
21 on that, it was something like 200 megawatts to -- so
22 savings from the distribution transformer standards
23 amounted to around 250 gigawatt hours for energy and
24 200 megawatts for peak, so that's a pretty high peak
25 to energy ratio.

1 So we looked a little more closely at that
2 standard and found that it was already in place, so
3 we pulled that out of the AAEE and incorporated it
4 into the baseline scenarios through adjustments to
5 line losses.

6 COMMISSIONER MCALLISTER: Nick, did you
7 figure out whether that characterization of high
8 capacity savings to energy was real or not? It could
9 be depending on where the savings of the transformers
10 are coming from, right?

11 MR. FUGATE: Yeah. I mean, intuitively it
12 makes sense that the transformer standard is going to
13 have a higher peak.

14 COMMISSIONER MCALLISTER: Yeah, if
15 efficiency is coming less from the core and more from
16 the windings, then you've got high capacity savings,
17 right?

18 MR. FUGATE: Right, yes. But I don't know, I
19 mean, line losses is a difficult thing to get a good
20 handle on, so I won't comment on real or not real.

21 COMMISSIONER MCALLISTER: But you then
22 incorporated the capacity and the energy savings back
23 into the baseline forecast.

24 MR. FUGATE: Yes. So what Navigant had
25 identified as savings we took out of AAEE and

1 incorporated it as line losses in the baseline, as an
2 adjustment to line losses in the baseline forecast.

3 The second cause had to do with an
4 uncertainty adjustment that Navigant's model was
5 using to apply to codes and standards. This savings
6 adjustment was informed by the 2006 to 2008 EM&V
7 study and that adjustment penalized peak savings more
8 than energy. This adjustment was removed in
9 Navigant's more recent, the 2015 potential study, in
10 response to the 2010 to 2012 EM&V which indicated
11 better performance from codes and standards. So
12 removing that penalty caused peak savings to increase
13 more than energy savings, so that also pushed up the
14 peak to energy ratio of the AAEE.

15 And our compromise to that was to reinsert
16 the uncertainty adjustment but at 50 percent of its
17 original level. So we had one EM&V study that said
18 there should be an adjustment to codes and standards.
19 We had another study that said, well, maybe not, so
20 we split the difference.

21 COMMISSIONER MCALLISTER: So you still are
22 debating codes and standards to some extent but just
23 not as you'd like.

24 [Next Slide]

25 MR. FUGATE: Right. This is basically what I

1 just said, our response to the two causes of the high
2 peak to energy ratios in the AAEE scenarios.

3 So here are the peak results from the five
4 scenarios. This chart you can see the five scenarios,
5 and in 2025 there's two points that are shown for
6 reference, that's the mid and the low savings
7 scenario from the 2014 update.

8 You can see all five scenarios are
9 significantly lower than the mid-mid case from the
10 2014 update, and this is due to some of the points I
11 mentioned already, particularly that some of the
12 standards were moved out of AAEE and into the
13 baseline forecast.

14 Also, realization rates were lessened in
15 light of the 2010 to 2012 EM&V study.

16 [Next Slide]

17 Here's the results for energy savings, a
18 very similar picture.

19 I'll point out that the low baseline savings
20 scenario is very close to the mid baseline high
21 savings scenario and it's the same thing on the other
22 end with the low cases. And again, this is because we
23 have marrying the baseline assumptions with regard to
24 rates and floor space acting in different directions
25 and pushing those together.

1 [Next Slide]

2 So new to this forecast we have AAEE
3 estimates for the POU's, at least for LADWP and SMUD.
4 So these are the two largest POU's and covered a lot
5 of ground. At this time the only POU for which we
6 have a potential study detailed enough to process
7 into AAEE estimates, so that's partly why we started
8 with just those two.

9 Their potential studies did not have program
10 savings scenarios nor did they have results for codes
11 and standards, so I believe what we did was, I
12 believe Navigant developed codes and standards
13 estimates for these two utilities using the same
14 approach that they did for the IOUs, so we do end up
15 having scenarios for the POU AAEE but the difference
16 in those scenarios is based only on codes and
17 standards.

18 [Next Slide]

19 So here are the results for peak impacts for
20 LADWP and SMUD combined. You can see a distinct
21 change in growth in 2020, and this is because LADWP's
22 potential study went out just five years at the level
23 of detail that we needed. So after 2020 LADWP savings
24 level is held constant.

25 [Next Slide]

1 And energy savings.

2 [Next Slide]

3 So I'm going to finish off with a comparison
4 of the mid baseline peak demand forecast with one
5 managed by the mid savings AAEE scenario. Our
6 baseline has a pretty low growth rate to begin with,
7 and clearly the inclusion of AAEE pushes that growth
8 rate negative.

9 [Next Slide]

10 And here's the same comparison for sales,
11 electricity sales.

12 [Next Slide]

13 So next steps, not just for AAEE but in
14 general. Comments are due, I think December 31st,
15 right? Okay.

16 Most major revisions occur between the
17 preliminary and revised forecast, so any changes that
18 happen between now and the adoption should be
19 relatively minor.

20 Our Commissioners will make a decision on
21 which combination of baseline and AAEE should be used
22 for the state's planning purposes.

23 And then the forecast adoption is scheduled
24 to happen at a January business meeting.

25 [Next Slide]

1 So with that, I'll pause and ask if there
2 are questions or comments?

3 COMMISSIONER MCALLISTER: Let's see. So I'm
4 going to sort through here and keep looking at it and
5 probably come back with a few questions that I might
6 not be thinking of right now.

7 But one question I have, or one comment, I
8 guess. So we now have the adopted AB758 action plan,
9 and we have SB350 and we have some statements of
10 policy goals. And I guess this is analogous to the
11 conversation we've already had a couple of times with
12 the transportation forecast, so we have these goals,
13 you know.

14 So the modeling is the modeling and you've
15 got the leverage you've got to track up that way and
16 predict what you think is going to happen with what
17 you know.

18 There's also this goal that is a separate
19 number that's, okay, here's our goal. And I guess
20 it'd be good in the case of 350 and the Governor's
21 efficiency goal, in 2030 there's a we want a doubling
22 of savings, and we can translate that into a number
23 and it could well be transposed on these graphs we
24 extend out the years a few years.

25 For 758 we've also got a graphic in the

1 action plan that's now adopted that says here's what
2 a doubling means to us in terms of energy efficiency
3 savings in most of our existing building stock.

4 So it would be helpful, I think, to have
5 like a dot for those goals. Maybe a line but even
6 just a dot like by this year we want to be here, and
7 put it on some of the outputs of the modeling to get
8 just a basic sense of, okay, given what we know, what
9 we're doing now, what we think is going to happen,
10 are we going to get close to our goal, is there a
11 gap? And that gives us some information about what we
12 need to do on the policy front.

13 CHAIR WEISENMILLER: Yeah, I would
14 discourage you from going too far in that direction.
15 I mean, It's really what we have to do next year is
16 figure out how to do that.

17 COMMISSIONER MCALLISTER: Yeah, yeah.

18 CHAIR WEISENMILLER: I think at this point I
19 don't want to give anyone any delusions, but we
20 incorporated the goals into this analysis. But at the
21 same time we take the goals very seriously.

22 COMMISSIONER MCALLISTER: Maybe it's not to
23 publish it in the actual forecast or in the IEPR this
24 year, but certainly as a policy matter we need to
25 know that so we can plan going forward.

1 CHAIR WEISENMILLER: No, I think the IEPR
2 itself, the document has to reflect this is what's
3 been adopted, this is the timelines, this is what
4 we're going to do.

5 COMMISSIONER MCALLISTER: Yeah.

6 CHAIR WEISENMILLER: The question is how
7 much, you know. And part of our messaging has to be
8 we really need to figure out how to build that in the
9 forecast throughout next year, and certainly we want
10 to keep people involved in that.

11 But as I said, I'm not quite sure at this
12 point if it's baked enough to put into this document,
13 or at least be in the graphs as opposed to the text.

14 COMMISSIONER MCALLISTER: Yeah, well we're
15 certainly gonna get a few comments along those lines.
16 If we don't do it then we're going to get comments
17 calling us out and we need to explain that this is
18 what we're going to do moving forward next year and
19 the year after.

20 CHAIR WEISENMILLER: Yeah, exactly.

21 COMMISSIONER MCALLISTER: But those numbers
22 do matter and I just want to make sure that we tee up
23 the discussion for next year and the execution in the
24 year after that to let the world know, well, we do
25 have these goals, we know we have these goals, and we

1 need to inform our policy direction and our policy
2 actions going forward to meet those goals, and that
3 is going to be reflected in future forecasts.

4 CHAIR WEISENMILLER: That I agree. I think
5 when the drafts came out people were in the mode of
6 have you incorporated it, and it was like, oh yeah,
7 and it's going to take awhile.

8 COMMISSIONER MCALLISTER: I mean, I see this
9 as part of the incorporation, so yeah.

10 Thanks a lot, Nick.

11 MS. RAITT: Thanks Tom and Nick, really
12 appreciate you filling in today.

13 So next is Ashish Gautam.

14 CHAIR WEISENMILLER: We want to make sure we
15 thank Tom for filling in, and Nick both, as Tom
16 leaves.

17 MR. GORIN: I'm not ready to leave yet.

18 MR. GAUTAM: Good morning, everyone. My name
19 is Ashish Gautam and I'll be going over the self-
20 generation forecast.

21 This self-generation forecast had a lot of
22 moving pieces because we had so many key decisions
23 come out this week really, and so we were not able to
24 address them adequately.

25 I'm going to talk quickly about the

1 different data sources we used to track DG activity,
2 and then I'll go over some of the changes we made
3 relative to the prior forecast, and then I'll be
4 going over the statewide results. The results for the
5 individual planning areas will be provided later in
6 the afternoon. And then I'll give a quick update on
7 some of our next steps and take questions from the
8 audience.

9 [Next Slide]

10 Historically, we've always relied on rebate
11 program data, which has been a useful way for us to
12 track what's going on in PV adoption and even in non-
13 PV adoption. But it came to our attention that rebate
14 programs go away and there's still a great interest
15 in installing DG. The rebate programs become less
16 reliable.

17 And so for this IEPR we issued a data
18 request to the utilities asking for PV
19 interconnection data for 2012 and 2014 by month and
20 customer sectors.

21 We also had a more geographic (inaudible)
22 requested it by zip code, so that helped us look at
23 trends even more.

24 [Next Slide]

25 The PUC has started to publish their

1 interconnection data online, so we expect going
2 forward that we're going to make greater use of that
3 dataset so it's going to become a regular source for
4 us to work with.

5 There's still an issue about POUs. They
6 report on a different schedule to our renewables
7 office but it's still something we could make good
8 use of.

9 [Next Slide]

10 Some of the changes that we made relative to
11 the last adopted forecast.

12 We've updated our PV production shapes. This
13 is something we received from the PUC. They had hired
14 a consultant to do some EM&V valuation of the CSI
15 programs, so they provided that dataset to us.

16 We've also updated our peak factors to
17 translate installed capacity to impact during system
18 peak.

19 Again, this is an adjustment that we're
20 making based on what we know today as more behind the
21 meter PV is installed, peak hour is going to shift
22 and we suddenly are going to need to think about how
23 that peak impacts on the change over time.

24 We tried to look at that for the revised
25 forecast but ultimately we concluded that we need to

1 update our existing low shape database, so that's a
2 project. I'll talk a little bit about that later on.

3 Another update we have is we're using
4 install cost data from the PUC public tool that they
5 developed as part of the NEM 2.0 proceeding.

6 Again, we're updated our residential sector
7 model to use actual retail rates instead of average
8 sector rates. It's a step in the right direction but
9 it adds even more uncertainty because even with the
10 tier flattening there's a call to go to time-of-use
11 rates. That's something we haven't really looked at
12 in this forecast.

13 [Next Slide]

14 Some additional updates we made relative to
15 the July forecast we released, the preliminary
16 forecast.

17 We're using the decision on the residential
18 rate redesign that collapses the tiers from four
19 tiers to two tiers with a super user charge and
20 there's a monthly bill.

21 We've added scenarios to the PV costs to
22 vary by demand scenario. So this gives us more
23 separation between the scenarios.

24 While we were preparing the revised
25 forecast, the PUC had not ruled on the NEM decision,

1 so we assumed that in the low case there will be a
2 full retail credit for exports, and that in the high
3 case the exports will be compensated at a much lower
4 rate and there will be a capacity charge, a fixed
5 charge based on the system size. So the low and the
6 high cases act like a bookend between what would be
7 more favorable for the solar industry and what's
8 sought by the utilities.

9 In the mid case we averaged the additions
10 between the low and the mid.

11 Tuesday the PUC has released a proposed
12 decision where the retail credit is going to --
13 system owners are still going to get a retail credit
14 for their exports, and there's a call for new NEM
15 customers to move on automatically onto a time-of-use
16 rate by 2019.

17 And there's also I believe for the first
18 time a charge for interconnection. And customers
19 would also be required to have monthly netting and
20 start paying for certain nonbypassable charges.

21 So those are things we were not able to look
22 into for this revised forecast.

23 A first for us in this revised forecast is a
24 preliminary look at energy storage, and I'll go over
25 that a little bit later.

1 [Next Slide]

2 We did not do many changes to the
3 fundamental way we forecast. DG adoption is still
4 based on payback adoption. Again, the payback is
5 based on factoring the possible costs and benefits to
6 a system owner. And the payback is applied to a
7 diffusion curve to model the additions.

8 Again, we're going to have different results
9 by the scenarios because of inputs that differ by
10 scenario.

11 [Next Slide]

12 The first result is the non PV impacts. In
13 2014 we estimated the non PV impact was 13,000
14 gigawatt hours and would grow to just under 16,000
15 gigawatt hours. All three cases are very close to one
16 another, and has to do with offsetting effects
17 embedded in the demand scenarios.

18 The growth rates are about similar to the
19 prior forecast, just have a higher starting point.

20 We have an increase in the 2014/2015 period
21 because there was a change to the PUC rebate program
22 for (inaudible) projections. They've been allowed to
23 participate in the program so that bumps up the
24 starting years, but otherwise the growth is expected
25 to be roughly the same relative to the last forecast.

1 [Next Slide]

2 Next we have the peak impacts.

3 Again, all three cases are very similar to
4 one another but the three scenarios are substantially
5 higher than the last forecast, and the primary reason
6 is that we're accounting for the energy storage
7 impacts here, and we did not consider storage in the
8 last forecast, so that's why we have a higher peak
9 impact.

10 If we remove the storage then the cogen
11 impact is only about 100 megawatts higher so that
12 would be much closer.

13 [Next Slide]

14 So next is the statewide PV impact.

15 Relative to the last forecast, all three
16 scenarios are substantially above the last forecast.
17 As you can see, we have much greater separation among
18 the scenarios. Again, the low demand case assumes
19 more reduction in system costs and that there will be
20 retail credit for exports from them.

21 The high demand case has lower decline in
22 system costs for PV but we assume that system owners
23 are not going to get compensated at the retail rate.

24 And the mid is the average of the additions
25 between the two cases.

1 So energy impact ranges between 13,000
2 gigawatt hours to 30,000 gigawatt hours, representing
3 4 to 10 percent of consumption. We expect slower
4 growth up to 2016 due to the expiration of the tax
5 credit.

6 There's a potential for a kind of compromise
7 to be reached in extending the tax credit so that
8 will have an impact, but we were not able to look
9 into that for this revised forecast.

10 Growth is primarily led by the residential
11 sector. We still have quite a bit of increase in the
12 non-residential sector relative to the 2014 forecast,
13 but again, the residential sector dominates.

14 Annual growth rates here range from 9 to 17
15 percent a year, so there's an aggressive forecast,
16 but relative to some of the announcement from the
17 utilities posting their progress to meeting the net
18 metering cap, this forecast, at least in the near
19 term, may be a little conservative. At least we don't
20 expect the utilities to reach the net minimum
21 capacity limit until 2018, 2020 timeframe, but
22 there's already an expectation that San Diego may
23 reach their limit as early as next year. So there's
24 that.

25 [Next Slide]

1 And this is the peak impact from PV.
2 Estimated the impact to be about 1100 megawatts in
3 2014, and then to grow to 2900 megawatts to 6400
4 megawatts by 2026.

5 The installed capacity ranges between just
6 under 8,000 megawatts to under 18,000 megawatts by
7 2026.

8 As I mentioned earlier, we're still assuming
9 that the peak factors represent a later evening peak
10 and we're not looking at the shift, but that's going
11 to become more important and hopefully once we have
12 an updated load shape data we can start to
13 incorporate that.

14 [Next Slide]

15 So this is our first cut at storage. There's
16 the energy storage roadmap that has a goal of 200
17 megawatts of insulation behind the meter.

18 If you look at the self-generation rebate
19 program, about 70 percent of that goal could be met
20 by 2016. And that leaves the question of what do you
21 do about the next ten years. We just assume that the
22 average what's pending through that rebate program
23 will continue on.

24 We've learned our lesson from DVs and
25 forecasting that so we want to try to not do too much

1 in storage.

2 One of the issues historically is that we
3 don't have a good handle on operational data like we
4 do for photovoltaics. This is where we were close to
5 the PUC staff and they were very helpful in getting
6 us information on storage capacity and peak impacts.

7 Another takeaway here is that 70 percent of
8 the storage projections we estimate to be in Edison's
9 territory. That's just what's reflected in the rebate
10 program. And I think the non-residential sector
11 accounted for about 60 percent of that. Again, that
12 just reflects what's going through the rebate
13 program.

14 [Next Slide]

15 Uncertainties. I mentioned earlier about
16 rate reform. We've incorporated the tier flattening,
17 but again there's the issue of time-of-use rates and
18 also how the time-of-use periods may be defined.

19 There's the NEM reform. We're unable to
20 account for that, but hopefully in the next update we
21 will.

22 There's also the cost and technologies and
23 what kind of improvements we can see in the modules
24 and whatnot, converters especially.

25 This last bullet here about aggregating DG

1 is something that's noticed and paid attention to but
2 we're not too familiar on how this thing may play
3 out. We're aware that in the distribution resource
4 planning there are proposals for third party vendors
5 to aggregate the output of different technologies and
6 offer good services. So we're going to be probably
7 looking at both supply and demand side maybe later,
8 but it's just not real clear how this is going to
9 play out but it's something we're aware of.

10 COMMISSIONER MCALLISTER: It seems like the
11 assumption on storage particularly the assumptions
12 are pretty key in terms of especially, if it's behind
13 the meter, if it's up to the entity, you know, up to
14 the customer figure out how to reflect storage, and
15 that's (inaudible) will impact the peak.

16 MR. GAUTAM: Yeah.

17 COMMISSIONER MCALLISTER: You know, so I
18 guess building up that model to reflect operational
19 characteristics as they exist in the world as we
20 learn more about them and that seems pretty
21 important.

22 CHAIR WEISENMILLER: Actually, you've done
23 quite a bit here, looking at the summary. I think the
24 good news is that you've got some time to -- you
25 don't reflect everything last minute, but you're

1 never going to, and some of it has gone different
2 directions although most of it's on the upside at
3 this stage. But I think you've got a lot of work cut
4 out over the next couple years.

5 One of the things to avoid, though, is the
6 (inaudible) effect. Some of the more interesting
7 technologies which we're certainly struggling with
8 more trying to move more toward an IRP are things
9 that are combination.

10 As you know, Susan Kennedy has this program
11 in southern California which could be either demand
12 response or storage. So I don't know which bucket
13 you're putting it into in that fashion but the answer
14 is that as people, and certainly the preferred
15 (inaudible) and now with the ISO doing the preferred
16 step there, although the ball's now in the PUC's
17 court and it's complicated, is that again as we go
18 forward is to be looking much more at combinations
19 and making sure that we're neither double counting or
20 undercounting.

21 MR. GAUTAM: Yeah.

22 CHAIR WEISENMILLER: A lot of creativity is
23 coming and certainly continue to challenge you to
24 capture all the creativity.

25 COMMISSIONER MCALLISTER: Yeah, this is

1 great because you have time because the numbers are
2 still pretty small here so it's not like a huge, it's
3 gonna be a huge swing in the way of (inaudible)
4 forecast but we could prep the ground for the future.

5 [Next Slide]

6 MR. GAUTAM: Just quickly our next steps.

7 We'll try to update for the 2015
8 interconnections, and we'll leave out what we want to
9 make on net metering and the possible extension to
10 the tax credit. It's just something up there.

11 Longer term we're looking to update how our
12 peak demand model works. We have a contract out there
13 for updating our load shapes. It's going through the
14 procurement process, so hopefully we'll start work
15 within a month or so.

16 There's also rulemaking proceedings going to
17 modernize our data collection activities, and we're
18 trying to see where the DG part can tie in, but
19 that's just something that's out there.

20 And that's the end of my presentation. I'll
21 take any questions.

22 COMMISSIONER MCALLISTER: Thanks a lot. Of
23 course, on net metering we have the proposed
24 decision, we don't have the adopted decision, so at
25 some point you just have to wait until we go to the

1 big update next.

2 MS. RAITT: Thank you, Asish. Next is Lynn
3 Marshall.

4 MS. MARSHALL: Hello, I'm Lynn Marshall with
5 the Energy Assessments Division, so I'm discussing
6 the revised retail electricity rates that are input
7 in the demand forecast model.

8 So to be specific, these are annual average
9 electricity rates that go into the sector forecasts
10 of annual energy consumption. So by their structure,
11 those models are currently set up to capture any
12 time-of-use impacts so that's something that we'll be
13 discussing later separately.

14 [Next Slide]

15 So since the preliminary forecast developed
16 earlier this year, much of the data sections have
17 been revised, so the models now incorporate in
18 revised natural gas price outlook that was discussed
19 and forecast here last month.

20 It incorporates the July 2015 sales and
21 demand forecast.

22 And then we incorporated a lot of utility
23 specific information from the data that the larger
24 utilities submit on their IEPR supply and demand
25 forms. So from their supply forms that includes

1 projections of their energy and capacity portfolio
2 mix, including specific information on resource,
3 utility resources, time growth, their renewable
4 portfolio.

5 Then from the revenue requirements
6 information they submit on the demand forecasts they
7 were using selected information from that, including
8 information on their specific cost for things like
9 hydro resources, nuclear, coal, and long-term
10 broadcasts they may have their costs for their
11 renewable resources currently under contract, and
12 then other elements of revenue requirements such as
13 their transmission distribution costs, customer
14 service costs, public programs they are funding, debt
15 services, etcetera.

16 They also provided information on cost
17 allocation factors.

18 [Next Slide]

19 So also for the revised forecast we
20 developed some high, medium, and low case projections
21 of the distribution element of revenue requirements.

22 So for the investor-owned utilities, in
23 their general rate cases they have specific data on
24 capital expenditures and you could classify those by
25 categories like customer growth, load growth, and

1 then there's a bunch of other stuff ongoing
2 replacement.

3 So like adaptive methodologies that are used
4 in the Phase 2 general rate case to allocate marginal
5 costs, and use those to extend the projected capital
6 expenditures for the load growth and customer growth
7 beyond the current GRC period.

8 For the other elements of cap ex and for
9 public utilities didn't have as much detailed
10 information, I used escalation factors comparable to
11 what was used for the 2013 IEPR varying from about 2
12 percent to 4 or 4-1/2 percent.

13 Then we also updated the transmission
14 outlooks, starting with the CAISO model projected
15 transmission rates, updated that and extended it
16 beyond 2020 making some reasonable assumptions about
17 likely additions.

18 And then we've also reviewed for the short
19 end of the forecast reviewed general rate cases,
20 public utility rate actions, and factored those in.

21 And then finally we got some informal
22 comments from CPUC Energy Division staff and we also
23 presented the revised forecast to a DAWG subgroup and
24 got some useful feedback there.

25 So just to recap the scenarios in the

1 context of the rate case scenarios, we have high
2 demand and low gas prices, low carbon prices, low cap
3 ex because we have less penetration of distributed
4 resources.

5 And then in the low energy demand case we
6 have higher rates, high gas prices, high carbon
7 prices, more cap ex.

8 [Next Slide]

9 So these are the natural gas price cases
10 we're using. They were presented at a natural gas
11 outlook workshop last month.

12 So the mid case is now using a blend of
13 forward prices for the short end of the forecast out
14 to about 2019, and then moving to our staff NAMGAS
15 model projections for the rest of the forecast.

16 So it's a more gradual transition, but still
17 even in the mid case so that given where we are
18 that's still about an 80 percent increase in the
19 price by 2019.

20 In the high case we're doubling the gas
21 price by 2020, so that's going to have a pretty
22 significant impact on the results for utilities with
23 a lot of reliance on gas.

24 [Next Slide]

25 And then just comparing the mid cases going

1 back to the 2013 IEPR, the longer forecast is the
2 same in the mid case, but we're coming at it from a
3 lower starting point than in the 2013 IEPR, so bigger
4 percentage increase in the short end.

5 [Next Slide]

6 So these are carbon price scenarios. These
7 haven't changed since the preliminary forecast but
8 since they do have a significant impact, particularly
9 on the high case, I wanted to point that out. So down
10 here on the left hand you have prices for metric tons
11 of carbon, and on the right axis is an estimate of
12 the price per megawatts hour. So we're down around
13 \$13 per ton and \$6 per megawatt hour.

14 In the low demand high price case, that gets
15 to like \$27 per megawatts hour by the end of the
16 forecast, so that's a big factor in the price
17 results.

18 CHAIR WEISENMILLER: I was going to note
19 that our cap and trade numbers were never close to
20 this, or pretty much as before.

21 MS. MARSHALL: They are, and that's exactly
22 why I wanted to point this out.

23 So the low demand high price case is by no
24 means symmetric either in impact or in probability.
25 You'll see that in the results. Yes, we're nowhere

1 near there.

2 And I think probably Air Resources Board is
3 in the process of addressing the Phase 2 rules, and I
4 think based on that analysis would suggest that we
5 would have a lower high price scenario in the next
6 round.

7 [Next Slide]

8 So translating the gas and carbon price,
9 this shows the wholesale market price of electricity
10 cases using a heat rate curve methodology. It also
11 shows the price for new renewable purchases that I'm
12 using.

13 So this was developed from mid case
14 levelized costs and our costs of generation report
15 and took an average based on the resource mix that
16 was being added in our flex (inaudible) results.

17 I would say given where the price of solar
18 is going, this is probably high, so updating this
19 would probably have a steeper drop in this curve.

20 But still you will notice that in the high
21 price case at about 2020, renewables are cheaper than
22 conventional power, so you would expect in the model
23 we have utilities purchasing up to their stated
24 renewable portfolio standard; well in reality you'd
25 expect them to be going beyond that target just based

1 on economics but that's not captured in the model. So
2 again, another reason why the low demand high price
3 case is somewhat overstated.

4 [Next Slide]

5 So this is a snapshot of the statewide
6 weighted average results compared to the last couple
7 of cycles. So we're ending up, we've got commercial
8 sector less than 1 percent growth, or 0.7 percent.
9 Slightly lower than the previous couple of forecasts.

10 And one of the things compared to the 2013
11 IEPR, it's using a different model. It's using more
12 utility specific information, and so in the RPS
13 calculator we were using before it wasn't really
14 characterizing some of the public utilities practice,
15 so we see when we go to that individual utility
16 results overprojecting those utilities in particular.

17 So this is commercial annual average growth
18 rate, 0.7 percent.

19 [Next Slide]

20 Residential, a little closer to 1 percent.
21 And generally among most but not all utilities
22 there's a trend for more costs as utilities look at
23 their cost of service, that is more driven by
24 residential sector than non-residential, so those
25 rates tend to go up a little higher.

1 There are some utilities where that's not
2 the case, so that translates into (inaudible).

3 [Next Slide]

4 So going a little more in-depth, these are
5 big five utilities in the residential sector for the
6 mid case. Most of the utilities we have growth around
7 1 percent. There are several exceptions in the LADWP
8 paper which I will talk about more.

9 I guess you can characterize there's
10 utilities that are well on their way to accommodating
11 RPS, modernizing their infrastructure, and some
12 utilities that are just starting, and those are the
13 utilities that have the higher growth rate in the
14 forecast area.

15 [Next Slide]

16 The commercial sector again tends to be
17 lower growth rate so that the commercial sectors I've
18 used utility costs, changes in cost allocation
19 factors where they were available.

20 [Next Slide]

21 Those are the industrial cases.

22 [Next Slide]

23 Okay, now I'm going to go through each of
24 the planning areas. I'm showing the conventional, the
25 old planning areas. Easier for comparison purposes. I

1 actually generated the rates both ways by using a
2 different weighted average.

3 So Burbank and Glendale, those two utilities
4 are in somewhat different positions. Burbank actually
5 has a little advantage, they have more urban and
6 commercial case. They have been able to keep their
7 rate increases at around 2, 2.5 percent.

8 Glendale, on the other hand, found itself in
9 2013 negative cash flow funding, cap ex, and
10 operations out of reserves, negative (inaudible), and
11 badly needing to modernize their grid, clean up some
12 of their generation resources and facilitate a bond
13 issue.

14 So they have now implemented a pretty
15 significant five year rate increase that factors into
16 that mid case. After that it levels off.

17 [Next Slide]

18 IID, another utility that for along with no
19 increase to their base rate for many years. In fact,
20 you can see the rate residential customers were
21 paying actually declined.

22 So they recently passed a pretty significant
23 rate increase to, they've got a whole transformation
24 issue, renewable portfolio standards, FERC imposed
25 costs. So they're just coming to grips with dealing

1 with a lot of the new requirements now.

2 [Next Slide]

3 LADWP, you may have heard, has some
4 significant issues to deal with. So they have
5 proposed -- this forecast factors in their proposed
6 rate action for the next five years. About 75 percent
7 is to fund what they call power supply
8 transformation, so that's dealing with their coal.
9 That's complying with the RPS standards. There's a
10 significant energy efficiency program, so local solar
11 programs. And then also they have a significant agent
12 infrastructure problem, so that's part of the work
13 that would be funded through this rate action.

14 I was expecting or hoping that I would say
15 they just voted to approve it at the L.A. City
16 Council yesterday. They didn't; they voted their
17 water rate increase, but it might get approved. It'll
18 come back to the Board in January.

19 Now, as part of that rate action they did
20 some extensive scenarios on sensitivities. Some of
21 their sensitivities actually pair nicely with our
22 scenarios. So I used their sensitivities for the
23 first five years and then blended it with the staff
24 high/low cases.

25 [Next Slide]

1 So Pasadena, which is now part of our Edison
2 forecast, they've also implemented, I think the first
3 year of their rate increase is something like 8
4 percent followed by 2 percent.

5 So again, this is a utility that has really
6 had pretty stable rates and they're just looking at
7 the expenditures they have to meet. They have a 40
8 percent RPS goal, a lot of aging infrastructure, and
9 not a lot of demand growth in some of these,
10 especially the southern California utilities,
11 Burbank, Glendale, Pasadena.

12 So these are significant rate increases but
13 you wouldn't project past the next ten years the same
14 rate of increase necessarily.

15 [Next Slide]

16 PG&E. Here we have a relatively low growth
17 rate, 8 percent annually. They've already in the
18 recent years implemented some pretty significant rate
19 increases, so a lot of the (inaudible) before some of
20 the other utilities are in terms of some good
21 investment, RPS compliance, etcetera.

22 Shortly before I completed this forecast
23 their 2017 GRC rate case proposal came out, so I
24 incorporated some estimate of impact from that, in
25 particular their capital expenditures, but some of

1 those numbers will no doubt change.

2 [Next Slide]

3 And then Edison, you can see the low demand
4 high case is quite a bit higher here. A good chunk of
5 that is the impact of gas prices, the high gas,
6 natural gas prices. PG&E's got a little more hydro,
7 they've still got nuclear so they don't have quite
8 the response there.

9 And then also their 2015 GRC was still
10 pending, so there was some more uncertainty as to the
11 trend of capital expenditures in that position so
12 they'll have a wider range on those cases.

13 And also I think generally in their
14 distributed resource plan they have a more possible
15 upside on capital expenditures to support distributed
16 resources.

17 [Next Slide]

18 San Diego, another utility that's very
19 sensitive to natural gas prices. No hydro, no more
20 nuclear. It levels off. They've got some costs going
21 away that mitigates that somewhat.

22 And again, so this includes the first few
23 years from their most recent general rate case.

24 [Next Slide]

25 SMUD now has another less than 1 percent

1 growth rate. I think their management would say the
2 lower rate forecast and the high demand case is more
3 in line with their projections, 2, 2.5 percent rate
4 increases is generally what they stick to.

5 They seem to do more than other utilities
6 forward procurement of natural gas, it keeps their
7 costs very stable and rate stabilization capped.

8 And then adding SMUD with the other non-ISO
9 northern California utilities, the trends are
10 generally the same. Rates are slightly higher so
11 there's utilities like Modesto Irrigation District
12 that actually have higher residential rates. They
13 probably have some overallocation of cost to
14 residential down there, actually.

15 [Next Slide]

16 So those are my results. Do you have any
17 questions?

18 CHAIR WEISENMILLER: I was just going to
19 make the observation that one of the changes that
20 (inaudible) are doing are basically looking at the
21 depreciation rates.

22 MS. MARSHALL: Yes.

23 CHAIR WEISENMILLER: If you look at the most
24 recent GRCs, the amounts have really been adjusted by
25 leveling depreciation.

1 MS. MARSHALL: Yes. So I was focused on
2 forecasting (inaudible) and did okay on that, and
3 then some other elements are taken. So you're right,
4 that is something to watch in the future.

5 Any more questions?

6 COMMISSIONER MCALLISTER: No, I think I'm
7 good. Thanks a lot.

8 MS. RAITT: Thanks, Lynn. So with that, I
9 think we can go ahead and break for lunch. So we'll
10 break for lunch and come back at one.

11 COMMISSIONER MCALLISTER: Yeah, one o'clock.

12 (Lunch Recess)

13 --o0o--

1 **AFTERNOON SESSION**

2 MS. RAITT: Okay. Welcome back to the
3 Revised Electricity Demand Forecast, and we have
4 Sylvia Bender to speak for this afternoon.

5 MS. BENDER: Okay. Let me get started. Can
6 everyone in the room hear me? Let's check on that
7 first.

8 This afternoon I'm going to give a summary
9 of some work that the three agencies, the Energy
10 Commission, the Public Utilities Commission and the
11 Independent System Operators, have done to look at
12 time-of-use analysis. This is a time-of-use analysis
13 for time-of-use rights.

14 One of the things I want to do, first of
15 all, is recognize the fact that I have two joint
16 authors in this staff report, Tom Doughty from ISO
17 and Simon Baker from the Public Utilities Commission.
18 Neither of them could be here today, but I do have
19 able help from Bob Everett and Delphine Ho from the
20 ISO and Bob Levin from the Public Utilities
21 Commission, so I will be turning to them for
22 technical questions that I'm not going to be able to
23 answer.

24 [Next Slide]

25 Time-of-use rates have been used in

1 California as a load-modifying demand response, and
2 are a preferred energy resource.

3 To date, residential time-of-use rates have
4 been complex and enrollments have been very low and
5 static. However, that process is about to change with
6 some recent CPUC decisions that could lead to the
7 default time-of-use enrollment in 2019.

8 What we are doing here, we are looking at,
9 as you've already heard this morning, there is some
10 amount of demand response, non-event based demand
11 response in the forecast already. But what we wanted
12 to do in this supplemental analysis is look at how
13 that picture might be changing and what those
14 potential impacts might be.

15 [Next Slide]

16 So the goals of this joint analysis are
17 really to look at three particular areas here.

18 Look at residential fixed charges and time-
19 of-use adoption rates.

20 To look at time-of-use periods for
21 residential and nonresidential rate classes.

22 And to look at the transition to mandatory
23 and default critical peak pricing for small
24 nonresidential customers.

25 We're doing this analysis under our joint

1 agency steering committee, which is made up of
2 representatives from each of the three agencies.
3 We're examining the potential of these new impacts.

4 We are not incorporating any of this into
5 the 2015 IEPR forecast. I want to be very clear about
6 this. This is all supplemental to the forecast. So
7 we're looking ahead at what the situation might look
8 like in the future.

9 [Next Slide]

10 So to do this we set up a work plan and we
11 have developed six scenarios in all. These scenarios
12 have been developed through an interactive process
13 among the agencies, reviewed through the demand
14 analysis workgroup and through several webinars. So
15 we feel that we've gotten a pretty good cross section
16 of input into these six scenarios.

17 Four of them consist of rates that are
18 already adopted or proposed looking at based on the
19 current proceedings.

20 Two of them are more experimental scenarios
21 where we're looking at advanced rate designs, looking
22 specifically on how we might mitigate grid conditions
23 under circumstances of high renewable penetration.

24 So here we're looking at two different
25 components in order to do this.

1 The first component is tiering periods that
2 were developed by the ISO for four different seasons,
3 so from winter, spring, outer summer, inner summer.

4 And then the CPUC contributing their staff
5 designed conceptual rates that include a fixed
6 customer charge. And here I wanted to stress that
7 these are conceptual hypothetical rates that are
8 based on nothing that is in any proceedings anywhere.

9 We're going to look at these scenarios in a
10 little more detail in the next slide so I won't go
11 into too much detail here.

12 One of the things I want to mention also is
13 that we have two independent consultant analyses of
14 these scenarios. The two reports, one by Christensen
15 on the Scenarios 1 through 4, and then one by MRW on
16 the all residential scenarios across the six
17 scenarios. Those are all going to be docketed in this
18 proceeding. They are going to be fully available with
19 their data for everyone to see. What we have done
20 here is also provide a staff summary of those two
21 reports.

22 One of the things MRW did was provide a very
23 detailed literature review looking for studies
24 published basically since 2006 that would be relevant
25 to California, that would include some quantitative

1 results that we could use to frame the scenarios.

2 They looked at 48 different studies and
3 found 33 of them relevant enough to summarize in
4 their report, so it's a very good resource for
5 finding a good analysis of these kinds of studies.

6 What they learned from the studies is that
7 the time-of-use periods are usually very broad, six
8 to eight hours, typically summer afternoons and early
9 evenings.

10 Most of the programs have been customer opt
11 in, very few with default rates.

12 Most of them have studied both with and
13 without enabling devices.

14 Summer peak is the area that receives all
15 the attention, not so much the other seasons.

16 None of them studied whether load shifting
17 occurred at the end of any peak period.

18 And none of them considered three different
19 time-of-use rates.

20 The study that actually turned out to be the
21 most useful for these analyses was one that actually
22 was a little bit older than the timeframe they had
23 established. It was a statewide pricing pilot from
24 2003 and 4. It's really the only comprehensive study
25 that looks at California and includes elasticity

1 input and it quantifies demand response by climate
2 zone.

3 So those are some of the constraints we were
4 working under here.

5 [Next Slide]

6 So this is the map of the scenarios that we
7 have. Again, as a method to test, we added the fixed
8 charge across in each one of them, and you can see
9 here for the baseline results we have participation
10 rates now that are very low at about 2 percent. We
11 vary these across, ramping them up to 10 percent, 30
12 percent, and to 80 percent in some of the default
13 scenarios.

14 And then again there's a set of price
15 periods in Scenarios 1 through 4 that are basically
16 built off proposals that IOUs have already made.

17 And then Scenarios 5 and 6 where we'll talk
18 a little bit more about how we got to the ISO
19 recommended time periods and the CPUC conceptual
20 rates.

21 So this is the framework under which we're
22 working.

23 [Next Slide]

24 The ISO had a series of operational
25 questions that they began their analysis with, most

1 of which again are related to grid conditions. And
2 these questions are essentially representative of
3 those issues.

4 Their analysis began with historical data
5 from 2013 and 2014 looking for identified trends in
6 renewable generation compared to electricity demand
7 on the system.

8 So the data that they gathered also came
9 from the CPUC's (inaudible) proceedings, 2021 wind
10 and solar projections, as well as our demand forecast
11 results for 2021 and 2024.

12 From all of this the ISO created projections
13 of future load curves in the year 2021. They
14 anticipated electricity needs and net load curves
15 calculated by subtracting the solar and wind output
16 from the overall, then they created time blocks
17 comparing the loads to find net distributions.

18 [Next Slide]

19 Some of the results of that particular work.

20 The coincident peak demand in the ISO varies
21 by season and is generally coincident with the ISO
22 during spring, fall, and winter, but it's one hour
23 ahead of PG&E during the summer.

24 However, significant renewable penetration,
25 especially from solar, shifts the summer coincident

1 net load peak later in the day, from 4:00 to 5:00
2 p.m. to 6:00 to 7:00 p.m.

3 The ISO's data also observed that demand was
4 particularly high during summer weekdays in July and
5 August, essentially creating super peaks.

6 On the other hand, plentiful renewable
7 resources also mean that energy production can
8 outpace demand, especially during certain times of
9 day.

10 And the absence of storage capabilities that
11 are significant at this point, the surplus energy may
12 be curtailed.

13 So the tier view design is a potential
14 solution to manage the impacts of these renewable
15 resources.

16 [Next Slide]

17 So now I'm going to show you a couple of
18 graphics that came out of this.

19 This is the weekday conditions that were
20 graphed. The colored bars represent 95 percent of the
21 load distribution in each hour. The top and bottom
22 lines are the maximum and minimum net loads in each
23 hour. Blue is 2014. Red is 2021.

24 The minimum net load reflects the level of
25 generation required for liability and may result in

1 negative wholesale prices during midday from 10:00 to
2 4:00, which you see highlighted there.

3 So these surplus conditions expected during
4 what we're going to call the super peak hours are
5 10:00 to 4:00 in March and April weekdays. Weather is
6 mild, air conditioner use is at a minimum.

7 Additionally, supply is projected to be very
8 plentiful starting at 9:00 p.m. and then again
9 through the next morning.

10 [Next Slide]

11 On weekends you see a relatively similar
12 distribution, with the exception of July and August.
13 Again, supply surplus is expected to occur during
14 these hours from 10:00 to 4:00 when solar generation
15 is at its highest.

16 [Next Slide]

17 These patterns resulted in recommended price
18 patterns for weekends and weekdays that will be
19 reflected in what we'll from the CPUC conceptual
20 rates that we used for Scenarios 5 and 6.

21 And these periods again were developed by
22 the ISO to match future grid conditions, reflecting
23 these renewable penetration rates.

24 And the one thing that's a departure from
25 most TOU rates is that these rates and these periods

1 are designed to encourage rate reductions. Scenarios
2 5 and 6 specifically were designed to explore the
3 possibility of incenting customers to shift their
4 consumption away from peak periods when generation is
5 plentiful.

6 [Next Slide]

7 This is a map of the weekdays and these
8 different time periods. Three time blocks per day
9 tailored to the seasons and the higher use patterns
10 on weekdays versus weekends. So these periods reflect
11 system needs when generation is constrained during
12 the late afternoon/early evening peak and plentiful
13 at midday. The time periods, again, designed to
14 reduce peak load or shift that demand to non-peak
15 periods.

16 [Next Slide]

17 So now that we have the time periods
18 established, we need some conceptual rates to go with
19 them, so this is the CPUC component of this. Bob
20 Levin is actually the person who designed these rates
21 for us, so any technical questions I'll defer them to
22 Bob and Bob can explain this in more detail to any of
23 you afterwards.

24 Essentially, he used a two-step process,
25 using first of all the economic principles to model

1 this, building it up from rate components, a so-
2 called science of rate design.

3 And then secondly, putting a cap on some of
4 these rates to make them potentially acceptable to
5 customers. Some of them looked, you know, trying to
6 keep the super off-peak rates as low as possible, and
7 keeping the super peak rates capped to, again, make
8 them acceptable to customers.

9 [Next Slide]

10 So here's what those particular rates look
11 like. They range from maybe up to 60 cents in the
12 highest period here.

13 So the conceptual Scenario 5 and 6 TOU rates
14 are designed to be revenue neutral, designed to
15 explore the potential for price response. But again,
16 reminding you that these are not proposed by any
17 utility or contemplated by the CPUC at this point.
18 Strictly for supplemental analysis.

19 And the example you see here is for PG&E. In
20 the full papers you'll see them for all of the three
21 (inaudible) large utilities.

22 Let me define for you what these particular
23 periods are that we've got here.

24 So for inner summer, those months would be
25 July and August. Outer summer we would consider

1 May/June, September/ October. Winter would be
2 November, December, January, and February. Spring,
3 March and April.

4 [Next Slide]

5 And this is the same example again for PG&E
6 looking at the weekend rates in those same time
7 periods.

8 [Next Slide]

9 So what did our consultants show us in terms
10 of results from all of this.

11 This is a combination of the two consultant
12 reports, the Christensen report and the MRW report.
13 Shows the combined peak hour load reductions for all
14 three utilities under Scenarios 1 through 4.

15 The results between the studies are very
16 consistent, and they show that an increase in the
17 default participation percentage, which went from 10
18 percent to 30 percent, triples the amount of load
19 reduction to approximately 250 megawatts by 2025.

20 If we add targeted marketing or enabling
21 technology, we could take these down perhaps another
22 60 megawatts.

23 Scenario 4 was one that was only analyzed by
24 MRW. That one shows that load reduction can more than
25 double to 650 megawatts if we go from a 30 percent

1 opt-in percentage to an 80 percent default. So
2 there's a very significant change there.

3 If we add enabling technology, that second
4 bar takes us up another 150 megawatts.

5 [Next Slide]

6 Looking at residential scenarios now in our
7 two more experimental scenarios, these were only done
8 for residential.

9 These show similar findings of increased
10 load reductions, this time up to 1500 megawatts, but
11 based on an 80 percent default participation rate
12 versus 30 percent in Scenario 6, and that's what
13 accounts for that difference there. Scenario 5 has a
14 default, Scenario 6 does not.

15 The savings increase another 300 megawatts
16 with enabling technologies.

17 [Next Slide]

18 One last comparison here of results.

19 The potential to increase load during
20 periods of plentiful renewable generation and low
21 loads during spring was also studied using these two
22 scenarios, again, Scenario 5 with the 80 percent
23 participation of default rate, Scenario 6 with only a
24 30 percent under optimum conditions.

25 The graphic shows the savings in the spring

1 to be at 60 megawatts during the week and maybe 150
2 megawatts during the weekend in 2025.

3 More aggressive assumptions, which will be
4 the shaded line there, shows a higher estimate of 330
5 megawatts of load increases during the weekend.

6 The one thing that MRW wants to caution is
7 that looking at the spring and summer as bookends
8 would not be correct. This is extremely limited
9 experimental data, and I'll talk a little bit about
10 that in this next slide of a summary of our results.

11 [Next Slide]

12 For all of the scenarios that we studied,
13 the results are indicative. They're certainly not
14 predictive or prescriptive. There simply is no
15 existing pilot or study that's directly applicable to
16 this kind of analysis.

17 There's also a significant lack of recent
18 elasticity data for California. We found some good
19 studies in Pennsylvania, but the climate zones don't
20 really match here, so really there's just a dearth of
21 data on these kinds of things, especially for
22 customer elasticity.

23 And the work that Christensen did looking at
24 the smaller commercial and industrial customers found
25 a few interesting things there, as well.

1 What they're tending to do right now is
2 conserve across all the time periods, so we're not
3 getting (inaudible) that we'd hope for of people
4 shifting into the time periods when they're really
5 likely to be using verse not using.

6 And the increases that we're getting from
7 the changes from the large C&I customers are
8 relatively small, 3 to 4 percent maybe in early
9 afternoon hours.

10 The conventional opt-in rates are the ones
11 that are, again, achieving a smaller amount. It's the
12 default participation that really gets us a little
13 closer to where we'd like to be, but still we're not
14 seeing a lot of afternoon increase, which is what we
15 were hoping to be able to find here.

16 So the current and the IOU proposed rates
17 really have no impact on residential loads during
18 spring afternoons.

19 I have to point out also that most of the
20 current programs we have were not designed with that
21 function in mind, so that's also an issue. We need
22 programs that are designed very specifically if we
23 want those kinds of results.

24 [Next Slide]

25 So what are we recommending now from this

1 supplemental analysis; what have we learned from
2 this?

3 Essentially, we need a lot more research and
4 we need a lot more experience with residential time-
5 of-use before we can begin to really incorporate
6 these kinds of impacts into the forecast.

7 We need better assumptions about enrollment
8 strategies. We need more about adoption of enabling
9 technologies, and customer response about demand
10 elasticity.

11 So the pilots that we hope will be
12 forthcoming will help inform whether or how to
13 include potential impacts in future forecasts.

14 Secondly, the grid impacts are again
15 something else we really need to look at.

16 A number of IOUs are making proposals again
17 to do some late shifting, but most of it is very
18 piecemeal, so what we're also recommending is that
19 there is a comprehensive look at all the utilities
20 and that there's full participation of the ISO in the
21 CPUC proceedings that are going to look at time-of-
22 use rates across utilities to be able to someday
23 achieve this proposed vision that we have.

24 Our third recommendation is that we really
25 need some California-specific pilot studies to

1 quantify elasticity, to clear a gap in the literature
2 and almost nothing that looks at non-summer seasons.
3 We really need to be able to have this kind of data
4 to measure the potential to modify any kind of
5 consumption behavior.

6 And fourth, for small and medium commercial
7 and industrial customers, again, very little
8 experience. They're just beginning to transition to
9 mandatory time-of-use and default critical peak
10 pricing and time-of-use.

11 We need more information again on
12 alternative rate designs, targeted marketing and
13 outreach, enabling technologies. Learn about how to
14 reach these customers and to enhance their demand
15 response capabilities.

16 So with that, that's the conclusion of our
17 supplemental analysis. Any questions?

18 COMMISSIONER MCALLISTER: Anybody in the
19 room have anything?

20 MALE VOICE: I have a question. I thought
21 SMUD had time-of-use pricing for 2017. Is there
22 anything in your plans about what they've done or how
23 they derived their rates?

24 MS. BENDER: The question is about SMUD,
25 whether we looked at SMUD. And certainly we looked at

1 their evaluation to set up some of the scenarios. I
2 believe their studies are included in MRW's
3 literature review, yes.

4 COMMISSIONER MCALLISTER: You said there was
5 a 2003 study.

6 MS. BENDER: It's a statewide pricing pilot.

7 COMMISSIONER MCALLISTER: That would be CPUC
8 investor utility?

9 MS. BENDER: Yes. Yes. Yes.

10 So as soon as these studies are docketed, I
11 would invite you to look at, especially the
12 literature review. It's a very rich summary of pretty
13 much the work that has been done. The emphasis was on
14 California, but any good study. There are a couple in
15 there from Arizona because there are some real good
16 examples of quite a lot of quantitative data.

17 And the study from Pennsylvania as well.
18 That one is an excellent study. It just doesn't have
19 climate zones that particularly match what we have
20 here. But they're all included in there both as a
21 summary and for their applicability for doing this
22 kind of analysis.

23 COMMISSIONER MCALLISTER: I actually do have
24 a question. So we're not the ones who design the
25 rates but we have to figure out what the impact of

1 what the actual (inaudible) is going to be on the
2 forecast. There's give and take there.

3 I guess if we do want to reach our goals, is
4 part of your task to make recommendations about,
5 well, we need this kind of enabling technology to get
6 some penetration. Do you anticipate a report that
7 would also come out with some recommendations of sort
8 of a practice to pick up to expand the role, or
9 really do we see it as assessing what the PUC or the
10 POUs actually do when they practice?

11 MS. BENDER: Well, we began really more
12 looking at how, when, if we could begin to look at
13 these kinds of impacts in the forecast. That's
14 premature, I think, at this point.

15 Where this goes from here, I think will be,
16 as you say, directly to the PUC and their
17 proceedings. Certainly this is the kind of thing that
18 would fit within an integrated resource plan as well,
19 too. We just need time periods, we need rates, we
20 need probably a wider variety of rate designs to fit
21 this different set of customers, and I think we're
22 just really beginning to grasp -- and Delphine can
23 correct me if I'm wrong -- but I think looking again
24 at the grid operations for this and being able to try
25 to even out that load during periods in which we have

1 the potential impact for overgeneration, that's
2 another significant future for more work like this.
3 This is just like the first step in what I hope will
4 be a number of studies taken out across the state.

5 COMMISSIONER MCALLISTER: Yeah, yeah, me
6 too. And I guess I like that idea that we have this
7 dialog in context with the forecast but then
8 practically with each POU, in our case, so an IRP
9 pops up so we can maybe take advantage of their IRP
10 and get the kinds of information we need so that
11 we'll be better the next time around.

12 Anybody else?

13 CHAIR WEISENMILLER: I should just note that
14 obviously a lot of what we're talking about sounds
15 much more like load management, and just remind
16 people that we do have the authority under
17 (inaudible) to set load management standards.

18 So certainly coming out of this there's a
19 particular opportunity may be something we should
20 consider. We certainly did it the first time I was
21 here.

22 MS. BENDER: That's right we have done it in
23 the past.

24 All right, thank you.

25 MS. RAITT: Thank you, Sylvia.

1 So now we'll move on to the planning area
2 forecasts, and Malachi Weng-Gutierrez will talk about
3 the LADWP forecast.

4 MR. GUTIERREZ: All right. Good afternoon,
5 Chair, Commissioners. I'm Malachi Weng-Gutierrez and
6 I work in the Demand Analysis Office. I will be
7 presenting a couple of the forecast results for LADWP
8 and SMUD. I'll start with LADWP and I'll hand the
9 mike over to Cary Garcia, who will go over the IOUs,
10 presenting all of their results. And then I'll finish
11 off with a summary of SMUD, touching on the northern
12 California non-CAISO element of SMUD now that it's a
13 new forecasting area.

14 I just wanted to start also by noting that
15 the results that we're presenting today are high
16 level summary information, the details of which are
17 online in tables which are linked on the notice for
18 this workshop. So if anybody has an interest in
19 getting a sense of the actual data behind all the
20 presentations, it is online for comment and
21 consideration.

22 [Next Slide]

23 So getting straight to the punch line for
24 LADWP, there are a number of big high level things
25 that I wanted to highlight, the first of which is

1 that the electricity consumption in general in the
2 mid case compared to the update for 2015 is less than
3 it was for the update slightly, but it's not being
4 impacted as greatly as the IOUs.

5 Cary's going to touch on those and you'll
6 see how the new standards are impacting the general
7 electricity consumption for them relative to the
8 LADWP. In LADWP it is being impacted in electricity
9 consumption but not to such a great extent.

10 Meanwhile, as Ashish mentioned this morning,
11 the PV forecast is increasing significantly in
12 comparison to the update in 2014, and that obviously
13 is going to impact with sales as well as the peak
14 forecast and our revised forecast.

15 And then the for the peak forecast, in our
16 revision to the peak forecast, it is actually
17 starting at a higher point and I'll talk about that
18 more specifically when I get to the graph, but it's
19 starting from a higher point but the rate growth is a
20 little bit lower, and again, that is attributable to
21 the increased PV adoption.

22 [Next Slide]

23 And I do actually want to correct this slide
24 slightly. It says the CED 2015 preliminary mid case,
25 but we're actually not talking about the preliminary

1 here, this is the revised, so just note that's a
2 correction for the slide.

3 The revised mid case is slightly below the
4 update as I updated the mid case in 2025, as I
5 mentioned, about 400 gigawatt hours lower.

6 And again, this is, in fact, a result of
7 including standards into this and which also lowers
8 consumption slightly in this case.

9 As I mentioned, the impact is not as severe
10 as what we'll be seeing in the IOUs but it is
11 significant enough to lower that mid case below what
12 we saw in the update of 2014.

13 In 2016 obviously this consumption ends in
14 mid case at about 27,000 gigawatt hours.

15 [Next Slide]

16 The new mid case growth is significantly
17 lower in the revised case relative to the update in
18 2014 at about half as much as it's growing in the
19 update. This is pretty significant and this is also
20 related to the PV adoption, which obviously was much
21 higher in the revised case in 2015.

22 [Next Slide]

23 Similarly, the peak demand was also impacted
24 by the PV adoption. Although it starts at a higher
25 point because of the weather normalization, the

1 growth rate is lower in the revised case than in the
2 2014 update. And therefore, in the 2025 timeframe the
3 points are about the same, so very similar results in
4 the 2025 timeframe.

5 [Next Slide]

6 So here we have the PV energy associated
7 with LADWP. As you can see, it's significantly higher
8 than it was in the update in 2014. It's more than
9 double certainly in the 2025 timeframe, but by the
10 end of the forecast we are projecting here to 2026
11 the mid case reaches nearly 800 gigawatt hours, which
12 is, again, significantly higher than what we were
13 seeing in the 2014 update.

14 [Next Slide]

15 Likewise, the peak impacts are also much
16 higher than in the 2014 update. In 2026 the peak
17 impacts for the mid case is reaching to about nearly
18 200 megawatts, and that corresponds to around 450
19 megawatts of capacity.

20 [Next Slide]

21 One of the other elements of the demand
22 forecast obviously is the EV consumption. And
23 obviously Tom mentioned this morning there were
24 numerous workshops related to the transportation
25 energy demand forecast. I know they're busy

1 responding to comments as I sit next to them and I
2 hear lots of talk about those comments.

3 But we were able to incorporate the results
4 into the electricity demand forecast, and this is the
5 component of which was allocated to LADWP.

6 In general, they develop a statewide
7 estimate, and as we discussed in the preliminary
8 forecast, the statewide forecast is allocated to the
9 different planning areas.

10 One of the things that we updated for the
11 revised forecast was that not only did we use
12 elements of population growth and economics, income,
13 but we also weighted the results of energy
14 consumption by VMT differences across the state, as
15 well, so we're taking those into consideration.

16 We did look at projecting regionally
17 specific energy consumption taking into consideration
18 things like public charging station rollouts, but the
19 uncertainty with projecting future infrastructure was
20 a little bit complicated and so we didn't end up
21 incorporating that, but it does incorporate regional
22 differences in VMT.

23 So for LADWP, the results here in mid case
24 correspond to about 250,000 EVs, and are almost up to
25 700 gigawatt hours.

1 The other thing I wanted to mention is that
2 in this case the revised case here what we're
3 comparing is the mid case is associated with ZEV
4 mandate. The green case is where I believe the costs
5 associated with vehicles themselves match, the EV
6 costs match the gasoline costs in an earlier
7 timeframe allowing them to be adopted into the market
8 at a higher rate, so that leads to a higher demand
9 curve for the high case. And then I believe the low
10 is, I think it's a straight output from the model
11 without some adjustments to match the ZEV mandate.

12 [Next Slide]

13 Nick had mentioned this morning and talked
14 about the committed efficiency and what it's composed
15 of. What I wanted to highlight here again is
16 reiterating what he had mentioned.

17 There's a fairly narrow band here of results
18 associated with the committed efficiency. And again,
19 that is because of two competing elements which are
20 influencing both the high and the low demand
21 forecasts or the savings estimates.

22 In the high demand case there's a lot of
23 economic growth for housing and construction, new
24 houses and more floor space, which allows more codes
25 and standard savings to be incorporated.

1 Whereas in the low demand case we have much
2 higher prices associated with electricity. Which also
3 then promote savings in that case.

4 So that tends to draw the cases all
5 together, and that's why we have a narrow band there.

6 In the 2014 timeframe here, the portion
7 which is attributable to codes and standards is about
8 3,500 gigawatt hours, and you see here that it's
9 about total savings estimate is about 6,000, so over
10 half of the savings is associated in 2014 codes and
11 standards.

12 [Next Slide]

13 If you recall these charts from the
14 preliminary, I'll try to explain what this is.

15 The red line is what we start with, it's the
16 unadjusted cumulative savings. And then there was a
17 recent study that was completed for the programs, I
18 believe it's 2010 to 2012 programs, which led to a
19 realization rate being estimated, and we used that
20 realization rate to adjust the cumulative savings,
21 which leads you to this blue line.

22 Now, that's the cumulative savings up until
23 2013. Then you add on top of that savings for 2014,
24 and that gives you the green line. And that's what's
25 actually incorporated into the demand forecast. So if

1 that makes sense.

2 The net effect of all of that adjustments
3 obviously is the addition of 145 gigawatt hours in
4 2014, and about 40 gigawatt hours in 2026.

5 COMMISSIONER MCALLISTER: So these numbers,
6 the committed efficiency is already in the baseline
7 forecast that you already got on there?

8 MR. GUTIERREZ: Yes.

9 COMMISSIONER MCALLISTER: So you're just
10 breaking that out here?

11 MR. GUTIERREZ: Yes. These are adjusted
12 program efficiencies, I believe. I'm going to look to
13 Nick, see if that's the case.

14 COMMISSIONER MCALLISTER: These are existing
15 programs that are already incorporated into the
16 forecast or is this --

17 MR. FUGATE: I'm sorry, this is the first
18 time I'm seeing this. But yeah, it looks like just
19 2010 to 2014, so this is not considering anything
20 prior to those. I think Chris is probably just
21 showing the net impact of the adjustment, the
22 realization rate adjustment that we made to that
23 program period of 2010 to 14.

24 Actually, I think -- yeah, okay. So in the
25 forecast we also included program impacts for 2015

1 program year, but those weren't adjusted, which is
2 why he's not showing them here. This is just the
3 period that we applied the realization rate to and
4 he's just showing the impact of that.

5 COMMISSIONER MCALLISTER: And then these
6 would be incorporated into the baseline as opposed to
7 AAEE.

8 MR. GUTIERREZ: Right. So these would be
9 included in SMUD (inaudible)?

10 MR. FUGATE: Yes, the blue line.

11 MR. GUTIERREZ: The green line. The green
12 line is the total. The green line is what is the
13 final result of all the adjustments and the 2014
14 savings.

15 MR. FUGATE: Yeah, okay.

16 MR. GUTIERREZ: So that's the end result is
17 the green line, and that's what was incorporated.

18 COMMISSIONER MCALLISTER: Okay. Got it.

19 MR. GUTIERREZ: Now that that's perfectly
20 clear.

21 [Next Slide]

22 There are a couple of additional elements
23 that are added into the forecast as well touching on
24 climate change and electrification, so I wanted to
25 pull those out.

1 In the case of climate change for LADWP
2 there were 25 gigawatt hours in the mid case added to
3 2026, 33 gigawatt hours in the high case, 40
4 megawatts for the 2026 in the mid case, and 65
5 megawatts for the high case for the peak impact.

6 Again, all that's associated with climate
7 change and I think that was touched upon this
8 morning. Tom, I believe, talked about that.

9 For electrification, in addition to electric
10 vehicles there are other elements which are being
11 electrified; high speed rail, truck stops, other
12 elements like that which play into electricity load
13 and we're trying to incorporate those as well. Those
14 are some of the additions which are associated with
15 these numbers here.

16 So for LADWP the estimate we're getting is
17 165 gigawatt hours in 2026 for the mid case, 300
18 gigawatt hours in the high case.

19 There is a low case result here for
20 electrification but it's fairly small so we didn't
21 include it here.

22 [Next Slide]

23 Now taking a closer look at the specific
24 forecasting zones associated with LADWP, there's
25 Coastal and Inland Region.

1 As you might anticipate, the inland growth
2 rates are going to be higher, and that's primarily
3 due to the inland migration that we're seeing across
4 the forecasts and across different planning areas and
5 zones. Oftentimes you'll see that the inland areas
6 are growing at a faster rate, and that's certainly
7 the case here.

8 So for electricity consumption we're seeing
9 these growth rates, in the high case over 1 percent
10 growth rate in an annual basis for the Inland Region.

11 [Next Slide]

12 Likewise, peak demand was also growing, and
13 here again inland areas are growing more quickly, and
14 it's nearly 1 percent in the high case, and the peak
15 impacts are also being affected by what is growing in
16 those inland areas.

17 Oftentimes for the inland migration of the
18 population it's residential and that obviously has a
19 tendency to be more temperate responsive, and so you
20 might have a higher peak impact relative to that
21 sector as well.

22 [Next Slide]

23 All right. So now this is the AAEE component
24 that Nick had talked about this morning at the
25 statewide level. This is specific to LADWP.

1 Again, just to refresh your memory about
2 what the high-low, mid-mid, low-high, what those are
3 relating to is that the first refers to the demand
4 forecast and the second refers to, I think, the set
5 of conditions under which the AAEE is being
6 estimated. So in the first column it's the high
7 demand case associated with a low AAEE values and
8 assumptions.

9 So across the three these are the results in
10 different timeframes just to give you a sense of what
11 the impact is to LADWP. In the mid case it reaches
12 about 610 megawatts in 2026.

13 [Next Slide]

14 And then here is the total gigawatt hour
15 impacts. So again in the mid case by 2026 it's about
16 2400 gigawatt hours.

17 [Next Slide]

18 And then to show this for the mid case in
19 another visual representation so you can see what the
20 trend effects are, you can see that the impact of
21 AAEE on the LADWP baseline for the mid case is that
22 so if you were to compare a mid savings that we just
23 talked about to this, then you'll see in 2026 these
24 numbers correlate fairly well.

25 And the thing to note here, I think, and

1 actually Nick had mentioned this morning as well that
2 LADWP, there's codes and standards falling off or
3 ending after the 2020 timeframe, and after 2020
4 there's a constant growth rate that's incorporated
5 into the savings estimates, and that's what we're
6 seeing here.

7 So you see there's a widening of the trends,
8 and then after 2020 it's fairly parallel. There are
9 some other things affecting it, but in relative terms
10 it's fairly constant after that timeframe.

11 [Next Slide]

12 And again, this is for sales. So if we take
13 a look at peak, that's a very similar picture. Again,
14 we have a widening of the savings impacts on peak up
15 until about 2020, and then you have still widening
16 but at a different rate after that period of time.

17 So with that, that's all the slides that I
18 have for LADWP, so I'm going to open it up for
19 comments or questions.

20 CHAIR WEISENMILLER: Yeah, I don't know if
21 we've got any comments online.

22 COMMISSIONER MCALLISTER: Is there anybody
23 online?

24 MR. GUTIERREZ: There may be someone from
25 LADWP that wants to comment, but I was going to open

1 it up for comment from the dais first and then I'll
2 let them speak.

3 CHAIR WEISENMILLER: I wouldn't be surprised
4 if they want to do written comments.

5 MR. GUTIERREZ: Okay. So I believe there was
6 someone from LADWP online. Okay. So if they haven't
7 raised their hand, then I presume that they will then
8 just do written comments. So with that, I will sit
9 down and hand it over to Cary to start the
10 presentation on the IOUs.

11 MR. GARCIA: Good afternoon. My name is Cary
12 Garcia from the Demand Analysis Office, and I'm going
13 to give a very similar presentation but for PG&E and
14 the rest of the IOUs, and we'll get to that.

15 [Next Slide]

16 Here's a very quick summary of the forecast.
17 As was mentioned earlier this morning, we've changed
18 our planning area for PG&E and so now we have six
19 climate zones. That planning area now represents the
20 PG&E TAC area more closely.

21 Consumption compared to the 2014 update is a
22 little lower, and that's due to the standards we also
23 discussed.

24 And then sales and peak forecasts are also
25 down, and that's going to be due to higher PV

1 adoption.

2 Additionally, if you look at a comparison
3 that I'll show a little later between the climate
4 zones, you'll see there's more growth in the inland
5 climate zones compared to the coastal areas, and I'll
6 explain a little bit about that in a second.

7 [Next Slide]

8 So here we have our baseline consumption. As
9 you can see, we don't have a comparison here for the
10 2014 update because of that shift we did with the
11 climate zones, the planning areas. But roughly, you
12 can see that .9 percent versus 1.29 percent in the
13 update, so it drops down a little bit as far as
14 consumption goes.

15 [Next Slide]

16 Here we have our baseline electricity sales.
17 This is also down, a little flattened out there. We
18 did an adjustment down, you can see here, so the new
19 growth is a little reduced and the trajectory is
20 reduced as well.

21 [Next Slide]

22 Move on to peak demand. You can see here we
23 did our adjustment for weather normalization, so that
24 brings the 2014 update demand line down a little bit.
25 And you can also see the flattening out across the

1 different demand cases due to those PV impacts.

2 By 2026 we're looking at about 22,000
3 megawatts of peak.

4 [Next Slide]

5 Move on to PV energy. Quite a bit of growth
6 here. We have our mid case sandwiched by our high
7 demand case on the bottom and our low demand case on
8 the top.

9 By 2026 we're at about 9,000 gigawatt hours
10 of PV energy.

11 [Next Slide]

12 Here's the same graph but with peak impacts.
13 By 2026 we're at about 5,000 megawatts of capacity,
14 but when you apply the capacity factor, that estimate
15 comes out to about 1800 megawatts of peak impact.

16 [Next Slide]

17 Next, as we just saw earlier, we have our
18 light duty EVs. Same case as before. We have our
19 strictly model driven cases for the low demand. Mid
20 demand is headed toward that ZEV mandate. And then
21 our high demand case has electric vehicle prices
22 lowering faster than, I guess, traditional vehicles.

23 [Next Slide]

24 Here we have our committed efficiency. So at
25 2014 we had around 15,000 gigawatt hours savings just

1 from codes and standards alone. In total that was
2 about 35,000 gigawatt hours.

3 And then you can see due to the play of the
4 demand cases it kind of sandwiches everything pretty
5 close together there at the end. So by 2026 we're at
6 about 45,000 gigawatt hours of savings.

7 [Next Slide]

8 Here's this lovely chart again. We'll start
9 off with, like Malachi, we'll start off with the red
10 line. So that's our 2010-14 cumulative savings with
11 no EM&V adjustments.

12 You go down to that blue dark line, we
13 adjusted for EM&V, and then we applied the 2015
14 savings and get that green line and then have that to
15 key off out to 2026.

16 So by 2026 the difference between the red
17 and the green line is about 65 gigawatt hours.

18 [Next Slide]

19 And here's the additional impacts that we
20 spoke about earlier.

21 So we have the climate change going on here.
22 As far as energy goes, we see the difference here
23 between the mid and the high case, about 25 gigawatt
24 difference between those two cases.

25 And then we'll have the peak, so about 200

1 megawatts in 2026 for that mid case and then 300 in
2 the high case due to climate change.

3 And then we have the core electrification
4 and other additional electrifications, so we have
5 about 500 gigawatt hours in 2026 for that mid case.

6 Additionally, we have the 135 megawatts of
7 demand-side DR in 2026.

8 [Next Slide]

9 Here we have the breakdown of our climate
10 zones within PG&E's planning area.

11 You can see there in the Greater Bay Area
12 it's a little higher than the rest of the areas if
13 you just compare the mid case. I guess generally
14 across all cases it's a little higher, and that's
15 going to be due to a little more industrial and
16 commercial growth in the Greater Bay Area.

17 [Next Slide]

18 If we look at peak we see a slightly
19 different story. Southern and Central Valley seem to
20 be leading a little bit more, and that's due to the
21 weather sensitivity of peak in the inland areas.

22 So we can see here the Greater Bay Area is
23 much lower because they don't have that coastal
24 effect that kinds of evens things out as far as peak
25 goes.

1 [Next Slide]

2 Now we have our AAEE savings for peak. We
3 have our mid-mid case is in the middle and the high-
4 low and our low-high cases on the ends here.

5 So by 2026 we're expecting about 1800
6 megawatts of peak savings.

7 [Next Slide]

8 Same charts here but with energy, so about
9 7500 gigawatt hours of savings in the mid-mid case.

10 [Next Slide]

11 Here we did, the baseline sales here is kind
12 of a rough estimate because we hadn't completed our
13 1.5 form because we typically have this in there, so
14 this is going to be pretty close but these numbers
15 are going to deviate from what we actually publish.
16 Probably not by much but just as a reminder.

17 So we have our baseline sales, and then we
18 applied the three mid cases across the different AAEE
19 scenarios. So I guess in our mid case we're just
20 above 83,000 gigawatt hours by 2026.

21 [Next Slide]

22 And then this is the same chart but with
23 peak applied, so that gets us closer to about 18,500
24 megawatts of peak savings.

25 And that would be it. Is there any

1 questions, comments? I think we have somebody from
2 PG&E here or on the line.

3 COMMISSIONER MCALLISTER: It would be really
4 important for PG&E and the other utilities to chime
5 in on the individual components and dig in and help
6 us flag anything that doesn't look right to them.

7 I know you've been in communication and
8 they've sent in their information and stuff.

9 MR. GARCIA: Yeah, we didn't have as much
10 time as we typically do just with some of the work
11 we've been working on, but we're hoping if there is
12 anything they can get that to us fast and we'll try
13 to incorporate those changes as much as we can.

14 COMMISSIONER MCALLISTER: It's hard to just
15 eyeball this and say, oh, PV looks high or PV looks
16 low, so it's really got to be up to them to tell us
17 what whether it passes the Smith test to them.

18 Thanks a lot, Cary.

19 MR. GARCIA: I guess we'll move on to SoCal
20 Edison.

21 [Next Slide]

22 So once again same format. We'll just go
23 over a quick summary here.

24 So now we have five climate zones for SCE
25 within their planning area that is more closely

1 associated with their TAC area.

2 Once again, electricity consumption in our
3 mid case is lower than our update, and once again due
4 to those new standards that we've incorporated. Some
5 of this is offset, though, by the growth in number of
6 households.

7 Sales and peak forecasts are down, and this
8 is due to the high PV adoption.

9 And then once again, a lot more growth in
10 those inland climate zones compared to the coastal
11 areas.

12 [Next Slide]

13 Here we have our consumption. Down a little
14 bit compared to the update but not by too much.

15 [Next Slide]

16 We have our electricity sales, which is
17 consumption minus self-generation. You can see there
18 is a flattening of our mid case here compared to
19 consumption, and that's going to be due to that PV
20 effect, and that growth rate is compared to the red
21 line here, which is our data from the 2014.

22 [Next Slide]

23 Peak demand is a similar story. We did our
24 weather normalization adjustment so that brings that
25 starting point down, and then we see a fairly flat

1 curve going out into the future to 2026, so that
2 about 23,000 or so megawatts at peak by 2026.

3 [Next Slide]

4 Then we have our PV energy. Around 4,000
5 gigawatt hours difference compared to our 2014 update
6 if we look at the old planning area. Then by 2026
7 it's about 8,000 gigawatt hours of PV.

8 [Next Slide]

9 Same graph but with peak. Same story. This
10 corresponds here to about 4,500 megawatts of
11 capacity, and that puts us at about 1,700 megawatts
12 at peak impact.

13 [Next Slide]

14 We have our light duty EVs. As I said
15 before, we have our low case that's strictly model
16 driven. Our mid case (inaudible) and the high case
17 with the electric cable prices going down.

18 So this number here by 2026 would correspond
19 to about 800,000 EVs in SCE's planning area.

20 [Next Slide]

21 Efficiency numbers very similar to what I've
22 shown before. Everything tightens up based on our
23 demand scenarios. So about 40,000 gigawatt hours of
24 savings by 2026.

25 [Next Slide]

1 The slope graph again. This is a little
2 tighter there as you can see with the 2015, but we
3 have our adjustments made with the blue line. Add
4 2015 to get the green, and then we carry that off.

5 [Next Slide]

6 And here's the breakout of those additional
7 impacts that we had for the other planning areas. The
8 additional cord electrification and then the 75
9 megawatts of demand-side DR by 2026.

10 [Next Slide]

11 Here we have electricity consumption by
12 those climate zones within SCE's planning area. L.A.
13 Metro you'll see is growing a little slower compared
14 to those inland areas, and that's due to that
15 migration out into the Big Creek East and eastern
16 part of SCE's planning area.

17 I think the east part would correspond to
18 Riverside and those places.

19 Big Creek East, I believe, is, I guess it
20 would be the northeastern of SCE's territory,
21 roughly.

22 COMMISSIONER MCALLISTER: Which do you think
23 corresponds to Orange County?

24 MR. GARCIA: Orange County, I believe, is
25 L.A. Metro is included. I think L.A. County and then

1 Orange County would be added up against that.

2 [Next Slide]

3 Here we have the same graph with peak. You
4 can see here we have a lot more peak growth in that
5 Big Creek East territory, and then we actually have
6 negative growth for L.A. Metro.

7 And that's going to be due to slightly lower
8 economic and demographic growth in that area compared
9 to the inland areas, and then also the PV impact is
10 going to be more significant there.

11 [Next Slide]

12 Here we have our AAEE savings. Once again,
13 we just have our three mid cases sandwiched between
14 our high-low and should have been low-high on the
15 other end here. That's a typo. But about 2,000
16 megawatts of peak savings by 2026 for AAEE.

17 [Next Slide]

18 Same story here but with energy, so that
19 peak impact translates to about 8,600 gigawatt hours
20 of savings.

21 [Next Slide]

22 Once again, this is our estimate of SCE's
23 baseline sales and the impact from AAEE. And so we
24 have our new scenarios at the bottom there.

25 So by 2026 we're expecting about 83,000

1 gigawatt hours of savings in the mid-mid case.

2 [Next Slide]

3 Same thing for the AAEE scenarios impact on
4 the baseline peak, and there were about 18,500 peak
5 savings by 2026.

6 That would be it. Any questions or comments?

7 COMMISSIONER MCALLISTER: No, this is a good
8 run down. Same comment that Edison kind of needs to
9 step in here. But I am heartened that the AAEE
10 numbers are not small, they're 9, 10 percent over
11 energy, more than that of the demand. So the mid case
12 from the mid baseline to the mid-mid AAEE it looks
13 like it's 12 or 13 percent demand reduction, so
14 that's pretty impressive. It would be interesting to
15 hear what Edison would have to say or what the
16 reasons behind the higher capacity reductions than
17 energy on the percentage basis.

18 CHAIR WEISENMILLER: But I think the other
19 thing is certainly true for Edison and for PG&E is
20 that historically we really had to work to line up
21 overall forecast.

22 And now that we're doing the desegregation,
23 then the question is, even if we're in relative
24 agreement overall, are there real differences across
25 the areas.

1 Obviously, I'd be very surprised if, as we
2 continue that we're going to be in very much
3 agreement initially, though over time we should be
4 able to work out where the differences are.

5 COMMISSIONER MCALLISTER: Yeah.

6 MR. GARCIA: So we have Ed Martinez from SCE
7 on the line, so I think he's going to be able to
8 provide some comments and additional insights.

9 COMMISSIONER MCALLISTER: Go ahead.

10 MR. MARTINEZ: Hi. Thanks for the
11 opportunity for me to answer that question.
12 Unfortunately, I don't have any exact answers for
13 past discussions that took place but I can confirm
14 that Orange County is part of the L.A. Metro region.

15 And that coincides with what we're getting
16 from our economic data vendors with the Department of
17 Finance mostly from population (inaudible) is in our
18 inland area, Inland Empire, and a little sliver of
19 the San Joaquin Valley.

20 I do have two questions and two comments.

21 In regard to the weather normalization, I
22 think maybe perhaps after this meeting if you could
23 provide a little bit more detail or if you could walk
24 us through exactly how the change in weather
25 normalization happened. That would help us reconcile

1 some of the differences that we have in our
2 forecasts.

3 One quickie question that I have right now.
4 Earlier when you were talking about the statewide
5 changes, the building standards were mentioned. The
6 changes in the standards, did that filter down into
7 the IOUs like SCE and the other IOUs?

8 MR. GARCIA: Yeah, I believe all those
9 changes filtered down to everybody, yeah.

10 MR. MARTINEZ: Would you be able to quantify
11 that, then, like how much was weather normalization,
12 how much was it the standards?

13 CHAIR WEISENMILLER: On some levels,
14 probably. I was going to say certainly the weather
15 normalization was a big issue the last time, and we
16 certainly encourage everyone to drill down and get it
17 lined up now instead of at the adoption hearing.

18 And generally as we go through like with the
19 building standards, what's going to drive the impacts
20 in Edison is, embedded in the staff models are
21 forecasts to say how much new construction is
22 occurring in various locations and split between
23 multi-family and single family. So that depending
24 upon what the underlying forecast is for that new
25 construction in, say, Orange County, that will then

1 show how much the building standards impact Orange
2 County, or Edison, as opposed to PG&E.

3 And because really new construction is
4 driven back by the econ/demographic forecast of where
5 the growth is in your service area. So that would
6 flow through on some level.

7 MR. GARCIA: Yeah, the weather normalization
8 would be another step of that, though. I don't know
9 how that plays out as far as the building standards
10 goes.

11 MR. GORIN: But the weather normalization, I
12 think, was provided. It's just for 2015 for the peak.
13 And I think that --

14 MR. GARCIA: We're in the process of
15 finishing that up right now, actually. That's why...

16 MR. GORIN: I thought he had sent the
17 utilities the weather normalization estimates a week
18 ago. But has SCE not received them?

19 MR. MARTINEZ: As far as I know, I haven't.
20 I can ask around.

21 MR. GARCIA: Yeah, they should have been
22 sent out to Tong Yang. I know she typically is our
23 contact, but I think there was a change.

24 MR. MARTINEZ: She's out for the rest of the
25 year, but I can follow up with Miguel.

1 MR. GORIN: Yeah, because I had a note from
2 Chris that Miguel said the weather normalization was
3 okay with the utilities, but probably be good to
4 check on that.

5 MR. MARTINEZ: I'll follow up.

6 MR. GARCIA: I do recall that email. I'll
7 check my email and see if I can forward that to you,
8 Ed. I think I have it in there.

9 MR. MARTINEZ: I appreciate it.

10 MR. GARCIA: No problem. Would that be the
11 last of your comments?

12 MR. MARTINEZ: Yes.

13 MR. GARCIA: Okay. Thank you, Ed.

14 All right. Okay, we'll move on to my last
15 presentation for San Diego Gas & Electric.

16 [Next Slide]

17 Go to our forecast summary.

18 No change to this planning area, it's going
19 to be the same.

20 We do have a drop in electricity consumption
21 compared to the update, but this has been offset by
22 the growth in EVs in San Diego's territory.

23 Sales and peak are also down more
24 significantly, and this is due to higher PV adoption.

25 [Next Slide]

1 Here we have our electricity consumption.
2 You can see here now our high case is closer to what
3 the update was in 2014, so now we have this lower
4 demand for the mid case, topping out at about 24,000
5 gigawatt hours by 2026.

6 [Next Slide]

7 Electricity sales, consumption minus self-
8 generation. You can see the flattening out of our mid
9 demand curve out to 2026. Significantly lower than
10 the update's demand.

11 [Next Slide]

12 Same chart but for our baseline peak demand.
13 Once again we have weather normalization that brings
14 us back down, and then we start off the growth, but
15 that PV adoption levels everything out.

16 [Next Slide]

17 Here we can see our PV energy. Quite a bit
18 higher than what we had in our 2014 update. By 2025
19 it looks like we're going to have about 2,200
20 gigawatt hours of PV energy.

21 [Next Slide]

22 Same chart with PV peak impacts. Once again,
23 quite a bit higher than what we had for the 2014
24 update, topping out at about 500 megawatts of peak
25 impact out to 2026. And this corresponds to about

1 1300 megawatts of capacity.

2 [Next Slide]

3 Light duty EVs. Same story as before. This
4 case, though, we can compare that to the planning
5 area because we didn't make any changes so we can see
6 our old update demand case there in the middle of the
7 three curves. So this would correspond to about
8 250,000 EVs by 2026 if you look at our mid case.

9 [Next Slide]

10 Another committed efficiency graph here.
11 Everything's sandwiched up together, and you see that
12 stat up there about 4,000 gigawatt hours from just
13 savings in codes beginning in 2014.

14 Just a reminder. These are also broken, the
15 efficiency committed savings for programs and price
16 effects, as well as building and standards, in our
17 demand forms for each of the planning areas.

18 [Next Slide]

19 Every time I look at this chart it always
20 takes me a second to get it all in there. I've seen
21 it a thousand times but...

22 MR. FUGATE: Cary, can I just correct what I
23 said earlier so --

24 MR. GARCIA: On this chart?

25 MR. FUGATE: -- come back to me now, I

1 remember Chris asking me for this data.

2 So the blue and the red is from last cycle
3 where we didn't have the 2010 to 2012 EM&V results,
4 and so I think what Chris is showing here is that we
5 added another year of savings and applied the 2012
6 EM&V results and that's the net effect, we're still
7 in the neighborhood of where we were.

8 COMMISSIONER MCALLISTER: Yes, I think I
9 deciphered that, too. It's invisible, but there is a
10 line between the 2014 blue and the 2015 green.

11 MR. FUGATE: Yeah.

12 COMMISSIONER MCALLISTER: That's the actual
13 curve that's built into the forecast itself.

14 MR. FUGATE: Yeah. Sorry for the confusion
15 on that.

16 MR. GARCIA: We should do a crowd source and
17 figure out how to graph this. All right, so we've got
18 it. We'll move on.

19 [Next Slide]

20 So here we have our additional impacts.

21 So climate change impacts here, 20 megawatts
22 of peak in our mid cases by 2026, and 40 megawatts in
23 the high case. San Diego is a little smaller than
24 everybody else so these things get dropped down a
25 little bit.

1 Additional electrification, 40 gigawatts
2 compared to 80 gigawatts from the mid to the high
3 case in 2026.

4 And then we have about 60 megawatts of
5 demand-side DR in 2026.

6 [Next Slide]

7 Here we have our AAEE savings again, broken
8 out across those three mid cases and the high-low and
9 the low-high case for AAEE. Peak impacts are about
10 450 megawatts by 2026.

11 [Next Slide]

12 Same thing but now we have energy, 1900
13 gigawatts by 2026.

14 [Next Slide]

15 And then we have our baseline sales for the
16 mid demand case and then the three AAEE scenarios,
17 the low, mid and the high applied here.

18 So energy savings we're at about just under
19 1,000 gigawatt hours of savings.

20 [Next Slide]

21 And then the peak impacts here, same thing,
22 pretty flat demand curve over there.

23 And then if you look at the mid-mid case,
24 that brings us to about 42.5 as far as the peak
25 savings.

1 That would be about it. Questions?

2 Do we have anybody from San Diego?

3 COMMISSIONER MCALLISTER: Come on down.

4 MR. SHERMEYER: Thank you for the
5 opportunity. My name is Ken Shermeyer and I'm the
6 electricity forecasting manager. A few comments.

7 We just received the forecast so we're still
8 looking into it, but we're seeing the same trends in
9 our own forecasts that we're seeing in the CEC's
10 forecast.

11 And we look at on a managed basis, too. We
12 think it's coming to fresh energy efficiency savings.
13 We're seeing it today.

14 Some of the other things we're going to look
15 at are the EV component, and I'd like to have our
16 electric vehicle group check that over. But in the
17 recent past it's matching up pretty well.

18 For the PV, we like that we saw the
19 improvement in the forecast. I think it'll be
20 important to get Ashish year-end 2015. I mean, I
21 think it's growing pretty fast and to give him the
22 most updated information available, I think will be
23 important.

24 My only other comment is there are a lot of
25 policy changes that have just recently happened, and

1 we may not get them in this forecast. Is there a
2 possibility of maybe putting it in the '16 update?

3 CHAIR WEISENMILLER: Actually, no. What
4 we're going to do, and this has been something we've
5 talked about certainly with the other agencies, is
6 that it's really going to take us all of next year to
7 learn how we're going to ramp up the methodology to
8 really incorporate 802 and 350.

9 We're always in this weird position. On the
10 one hand we're going to be adopting this IEPR soon
11 and we're going to be kicking off the next one almost
12 at the same time, as the IEPR team over there is
13 nodding glumly. So we really have the change for
14 Chris's group to work through how do you do this and
15 how to get the data. We just don't see a chance, nor
16 does the PUC see a chance that we could get it
17 together next year.

18 But we really want everyone to focus next
19 year on how do we do it right going forward, because
20 the 802 and 350 stuff, we're talking about really,
21 really big changes. And at the same time if you look
22 at, like PV, there's huge changes going on there.

23 So it's really going to be important to get
24 it right, and I think we're all going to have to
25 spend every creative ounce of energy we have next

1 year working through how to get it right so the
2 following year we really come up with a bang-up
3 product.

4 COMMISSIONER MCALLISTER: Yeah, I totally
5 agree. It used to be that the IEPR was every two
6 years and it's taken on more heft recently. But to
7 have really done well every two years is probably
8 enough, even though we all feel like the world is
9 shifting under our feet, still, I think if we can
10 have the methodology discussion how would we do it.

11 And everybody can go do their dry runs next
12 year and figure out how to get their heads around it
13 and bring some numbers for sure, but then commission
14 a new machine for 2017.

15 CHAIR WEISENMILLER: Yeah. And again, I
16 should be pretty clear. There will be an IEPR next
17 year, and Karen Douglas will be the lead on that.
18 It's going to deal with a lot of interesting stuff,
19 particularly following up on DRECP and some of the
20 landscape level environmental planning.

21 So again, that's going to be a huge effort
22 next year, and the other topics. But certainly for
23 forecasting demand and supply as a set, think
24 methodology, think data, think what do we really need
25 to do to do it right going forward. And not just do

1 minor tweaks, but let's really think creatively about
2 that big picture.

3 COMMISSIONER MCALLISTER: Yeah, 350, as you
4 read through it, there's a little room for
5 interpretation, but there are lots of different
6 elements of the forecast that are called out that we
7 need to get our heads around.

8 Now, how analytically robust each element
9 needs to be, I think that's part of the methodology
10 discussion. But we have to get more granular and we
11 have to try to segment better and get not just in PV
12 and not just in energy efficiency, but potentially
13 some of the other buckets that overlap of different
14 kinds of resources, we need to get to some
15 understanding of how we are or are not going to try
16 to analyze and (inaudible).

17 So the methodology discussion, I think it's
18 really exciting to be having it, it's very necessary,
19 and it's actually more important than the particulars
20 of a given forecast we might be given here.

21 CHAIR WEISENMILLER: Again, just building
22 off of our earlier back-and-forth on 758, I mean,
23 it's huge, and we don't have the data to really at
24 this point do it, or necessarily the analytical
25 tools, but we have to get there. Same on 802

1 Anyway, we're looking for a lot of your help
2 next year. It's probably going to be more in the DAWG
3 type of format than the hearings.

4 MR. SHERMEYER: And we enjoy participating
5 in the DAWG group, we think it's a great venue, and
6 look forward to bringing our ideas.

7 That's all I have.

8 COMMISSIONER MCALLISTER: Well, thank you.
9 Thanks for coming up.

10 MR. GARCIA: Thanks, Ken.

11 MR. GUTIERREZ: All right, Malachi here.
12 Thank you, Cary.

13 All right, so hometown for last. Since SMUD
14 was one of the territories where we did do an
15 adjustment to the forecasting zone, I'm going to be
16 touching on NCNC as well as SMUD throughout this
17 presentation, touching a little bit on each in
18 different areas. I'll try to note that when I go
19 through that I'm now talking about NCNC versus SMUD.
20 I may not catch them, but they are in the titles of
21 the slides themselves.

22 [Next Slide]

23 So again starting out with the SMUD service
24 territory. The big picture items, the big impacts is
25 basically that the electricity consumption is only

1 slightly reduced compared to 2014 update, and that's
2 primarily because of the higher population growth.

3 Estimates, the sales and peaks forecasts
4 have obviously been reduced compared to 2014 because
5 of the PV adoption. In the case of the peak, no so
6 much because of the peak factors being utilized are
7 different than in 2014, but we'll get to that in a
8 moment.

9 And then just in general if you look at the
10 NCNC planning area, the growth rates that will show
11 again at the summary table at the end are fairly fast
12 compared to other areas in California.

13 [Next Slide]

14 So starting with the baseline electricity
15 consumption. The new mid case grows faster in the
16 near term, and then it slows down a little bit later
17 on, so we do see this crossing over of that mid case
18 with the 2014 update mid case.

19 And I did want to say partly this is because
20 we're having both population growth and then we have
21 standards coming in that are countering those, and so
22 that those are competing factors again in our general
23 electricity consumption is.

24 [Next Slide]

25 So peak impacts here are slightly lower,

1 again reduced because of the PV adoption, the higher
2 PV adoption, but not as significantly as we saw, say,
3 for LADWP where the growth rates were half of what we
4 were seeing before.

5 [Next Slide]

6 And then likewise the peak demand is
7 slightly lower. But again, because of the different
8 peak factors that are being utilized for the 2015
9 revised number versus 2014, it's not as low as you
10 might imagine it to be.

11 [Next Slide]

12 And then here, again we have PV energy being
13 significantly higher than in the past. Not as high
14 was what you saw in some of the IOUs or the LADWP but
15 still significantly higher.

16 One of the things I wanted to correct on the
17 slide was that it does say this is a comparison
18 between the revised PV energy and the updated 2015.
19 This is obviously not 2015 update, that's 2014 update
20 mid case is what we're comparing here.

21 [Next Slide]

22 And then the corresponding peak impacts as
23 represented here. Again, higher peak impacts than
24 what we saw in the 2014 update.

25 What I wanted to note here is there is a

1 couple points that are not present in the high case,
2 so I'm just going to say that the 2025 high peak
3 impact was 172.7 megawatts, and then in the 2026
4 timeframe for the high case it was 199.5, so nearly
5 200 megawatts in the high case. Again, those are not
6 on the slide because they got cut off.

7 [Next Slide]

8 So then we also have this is the regional EV
9 impact to demand. The representation here in the mid
10 case in 2025 is about 80,000 EVs. Obviously the mid
11 case again corresponds with the ZEV mandate
12 compliance, or the most likely compliance scenario.
13 That obviously could change depending upon how OEMs
14 comply with the ZEV mandate, but this is
15 corresponding to the ARB's most likely compliance
16 scenario and how they have defined that.

17 And as before, the high case is where costs
18 are becoming more competitive with gasoline vehicles,
19 thus leading to a higher adoption. And the low is of
20 a fairly flat outlook (inaudible).

21 [Next Slide]

22 CHAIR WEISENMILLER: Do we have in our
23 forecast is light rail for SMUD? My impression is the
24 Board is really committed to try to expand light
25 rail, maybe to Davis next. And their way in part to

1 deal with ZEV is light rail as opposed to necessarily
2 just vehicles.

3 MR. GUTIERREZ: That's a good question. I
4 don't know how you'd transfer those credits. I guess
5 you'd have to sell the credits to the obligated
6 party.

7 CHAIR WEISENMILLER: Well, I'm thinking
8 load. So I'm saying on the load side the Board at
9 this point is really focused on growing light rail in
10 Sacramento.

11 MR. GUTIERREZ: Yes.

12 CHAIR WEISENMILLER: At least when I push
13 them on where is their program for charging, they
14 point to what they're doing in light rail, so I'm
15 trying to understand where we're picking up light
16 rail in the forecast.

17 MS. BAHREINIAN: We do pick up light rail in
18 our travel demand models, in urban travel, light rail
19 demand is reflected.

20 On top of that, one of the scenarios that we
21 forecasted, we changed some of the buses and urban
22 transits after 2020 from natural gas to electricity.
23 So we took care of those two in another model.

24 MR. GUTIERREZ: So the question, then, is
25 that reflected in the electrification numbers as

1 opposed to the EV light duty?

2 MS. BAHREINIAN: No, it is not reflected in
3 the EV.

4 MR. GUTIERREZ: It's in electrification
5 then.

6 MS. BAHREINIAN: Yes.

7 COMMISSIONER MCALLISTER: But you do pass
8 that consumption over to the forecast (inaudible).

9 MS. BAHREINIAN: Yes, the transportation
10 electricity demand forecast that we have in the
11 transportation covers the light rail and buses and
12 electric buses.

13 MR. GUTIERREZ: Thanks. What threw me there,
14 there was a comment that they were talking about in
15 the context of the ZEV mandate compliance that light
16 rail doesn't really play.

17 CHAIR WEISENMILLER: Anyway, they can't
18 blame the PUC for not charging.

19 [Next Slide]

20 MR. GUTIERREZ: All right. So here we have,
21 again, moving from SMUD now to NCNC, this is a
22 reflection of the committed efficiencies across the
23 entire NCNC planning area.

24 And again we see a very narrow band of
25 results here again from those competing elements in

1 the forecasts. So as high economic development leads
2 to more codes and standards savings versus the price
3 effect of any other competing cases. So that's why
4 again the narrowing of these efficiency numbers.

5 [Next Slide]

6 This is the non-crowd sourced visualization
7 of the adjustments. So again, focusing back on just
8 SMUD. So I believe we got it now so the red line is
9 the unadjusted numbers up until 2013 and then the
10 blue line is now adjusted by the EM&V study,
11 incorporating the realization factor of those
12 programs.

13 And then adding on top of that in the 2014
14 timeframe is the new savings from different programs,
15 and that's in the green line.

16 So as Commissioner McAllister said, what's
17 incorporated into the forecast is really from the
18 blue line from 2010 to 2013, and the green line from
19 2014 to 2026.

20 [Next Slide]

21 All right. So for SMUD some of the
22 additional impacts and magnitude of those impacts are
23 presented here.

24 Again, we only have climate change and
25 electrification as modifiers here. In the high case

1 for climate change the consumption is increasing by
2 70 gigawatt hours, peak is impacted by 45 megawatts.

3 And then for electrification, in the high
4 case we're looking at an additional 30 gigawatt hours
5 of consumption.

6 [Next Slide]

7 As I mentioned at the beginning, the growth
8 rates here for the NCNC area is pretty significant.
9 These are fairly high if you do a comparison across
10 of these with the IOU growth rates, most of these are
11 higher. And again, it's because we're still populated
12 in Sacramento. It's such a great place to live and we
13 have a new arena going in, and I don't know how else
14 to market it. But we do see a lot of growth in this
15 region, and again, it's driven a lot by population
16 migration.

17 [Next Slide]

18 Likewise, peak impacts here are pretty
19 significant relative to the other utilities. The
20 highest being obviously in the Turlock Irrigation
21 District.

22 [Next Slide]

23 Getting to SMUD's AAEE. Again, these are the
24 savings associated with AAEE estimates for SMUD
25 territory, these are the peak impacts. In the mid-mid

1 case we're looking at over 300 megawatts, and still
2 pretty significant.

3 [Next Slide]

4 And the associated gigawatt hour impacts are
5 over 1100 in the mid case.

6 [Next Slide]

7 And now the resulting graphic estimating the
8 impacts. Again, Cary noted that these are just rough
9 estimates and that the final actual impacts would be
10 identified in the Form 155 note. So these are just
11 what the sales would look like from the baselines
12 given the mid AAEE savings that were just presented
13 in the previous tables.

14 So this is for sales, and it looks as though
15 obviously the mid AAEE savings is sort of flattening
16 sales through about 2022, and then you have a slight
17 increase after that point, likely because of PV
18 adoption and other things, population growth.

19 [Next Slide]

20 And likewise the similar set of trends in
21 the peak case. A fairly flat peak or managed peak
22 estimates through about 2020, 2021, and then you have
23 a slight increase through time.

24 So that is it for the slides that I have for
25 NCNC or the SMUD area, and so I'd be happy to answer

1 any questions.

2 CHAIR WEISENMILLER: Is there anyone here
3 from SMUD, on the line or here?

4 MR. GUTIERREZ: No. I thought that there was
5 going to be no one from SMUD commenting, so I'd be
6 surprised if they were.

7 If there is anybody from SMUD, would you
8 like to -- or NCNC maybe? Turlock?

9 Okay, doesn't look like it. So any comments
10 in the room or questions from the Commissioners?

11 COMMISSIONER MCALLISTER: No, I think I'm
12 pretty clear.

13 So that's it for presentations, right,
14 Heather? So maybe we can remind everything when the
15 comments are due and the process. Thanks.

16 MS. RAITT: Bob McBride has his hand up. I
17 don't know if there's something that he wanted to
18 add. We have another person.

19 MS. VISWANATHAN: Hi, my name is Kala and I
20 work for the Natural Resources Defense Council, and
21 we wanted to thank staff and the Commission for their
22 hard work to produce the 2015 Demand Forecast.

23 We support the Commission's effort to create
24 a more granular forecast by including twenty
25 geographic forecasting zones. And moving forward, we

1 recommend the Commission to work with the joint
2 agencies to improve the granularity of the AAEE
3 forecast as well.

4 We also support the swift inclusion of the
5 2015 Title 20 appliance standards in the baseline
6 forecast.

7 While we commend the forecast for including
8 SMUD and LADWP, the AAEE forecast excludes more than
9 a third of energy efficiency savings from POU's. We
10 recommend that the Commission include energy savings
11 from all mid-sized POU's energy efficiency programs.

12 Looking at the 2013 managed forecast and
13 comparing it to actual energy consumption from 2014,
14 the managed forecast was more accurate than the
15 baseline forecast. So relying on energy efficiency as
16 a resource is the most reliable plan, and the 2015
17 forecast will save an equivalent of eleven power
18 plants by 2025.

19 We look forward to working with the
20 Commission next cycle to implement SB350's goal of
21 doubling AAEE and also working on AB802 (inaudible).

22 Thank you for considering our
23 recommendations.

24 CHAIR WEISENMILLER: Thanks very much.

25 I wanted to make sure we also invited you to

1 participate. Next month we may be kicking off on the
2 IRP side and obviously we'll be doing that in the
3 context of POU's, and certainly encourage vigorous
4 participation by the NRDC in the IRP process.

5 MS. RAITT: Anyone else in the room?

6 MR. BENGTSSON: This is Nathan Bengtsson
7 from PG&E. I just wanted to make sure you all knew we
8 were here, and we will be sure to (inaudible). I know
9 our folks have been really engaged with DAWG but
10 we'll take a look and make sure to get you any
11 comments.

12 CHAIR WEISENMILLER: Typically, the
13 utilities don't have enough time between (inaudible)
14 hearing, but we'll do general comments now but then
15 very detailed written comments. We're looking forward
16 to getting those from you.

17 And again, if you could look at some of the
18 area forecasts, we'll start moving with more
19 granularity we're certainly going to have differences
20 that we need to work through.

21 MR. BENGTSSON: Absolutely. We'll make sure
22 to do that.

23 CHAIR WEISENMILLER: Great.

24 MS. RAITT: Okay, if that's everybody in the
25 room, then I'll just remind you that written comments

1 are due Thursday, December -- excuse me. If we could
2 just pause a moment and see if the people on the
3 phone want to make -- if you could mute your line
4 unless you wanted to make a comment.

5 Okay. Sounds like we don't have anybody on
6 the line.

7 So again, if you could submit written
8 comments by December 31st, and information on how to
9 do that is here on the slide and also in the notice.

10 COMMISSIONER MCALLISTER: So with that, I
11 will wish everyone a wonderful holiday reading the
12 IEPR, preparing your comments, and between cups of
13 eggnog. I know I will be doing the same.

14 Thanks for all the good work from staff and
15 thanks to the agencies for being here and paying
16 attention. And we are getting there, getting close to
17 the finish line on this year's IEPR, just in time to
18 start the next one, obviously. Good stuff.

19 So thanks everybody for all your help.

20 CHAIR WEISENMILLER: Yeah, thanks for your
21 help and happy holidays.

22 (Adjourned at 3:34 p.m.)

23 --o0o--

24

25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of January, 2016.

Shanalee Gallagher
CER-830

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of January, 2016.



Terri Harper
Certified Transcriber
AAERT No. CET**D-709