

DOCKETED

Docket Number:	16-IEPR-03
Project Title:	Environmental Performance of Electricity Generation System
TN #:	211741
Document Title:	Transcript of the 05/25/2016 IEPR Commissioner Workshop on Offshore Renewable Energy
Description:	N/A
Filer:	Sabrina Savala
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/7/2016 4:21:51 PM
Docketed Date:	6/7/2016

COMMITTEE HEARING
 BEFORE THE
 ENERGY RESOURCES CONSERVATION AND DEVELOPMENT
 COMMISSION OF THE STATE OF CALIFORNIA

In the matter of,)
) Docket No. 16-IEPR-03
)
 2016 Integrated Energy Policy)
Report Update (2016 IEPR Update))

**IEPR COMMISSIONER WORKSHOP ON
 OFFSHORE RENEWABLE ENERGY**

CALIFORNIA ENERGY COMMISSION
 FIRST FLOOR, ART ROSENFELD HEARING ROOM
 1516 NINTH STREET
 SACRAMENTO, CALIFORNIA

WEDNESDAY, MAY 25, 2016

9:30 A.M.

Reported By:
 Peter Petty

CALIFORNIA REPORTING, LLC
 52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES

COMMISSIONERS

Karen Douglas, Lead Commissioner, IEPR Committee

David Hochschild, Commissioner, IEPR Committee

CEC STAFF PRESENT

Heather Raitt, IEPR Lead

Thomas Gates

MODERATOR

Ella Foley Gannon, Morgan Lewis Law Firm

PRESENTERS/PANEL MEMBERS PRESENTStudies and Research

Mark Jacobson, Stanford University (via WebEx)

Walt Musial, National Renewable Energy Laboratories
(NREL) (via WebEx)

Bill Toman, Cal Poly, San Luis Obispo

Federal and State Permitting Agencies

Joan Barminski, U.S. Bureau of Ocean Management (BOEM)

Jennifer Lucchesi, California State Lands Commission
(CSLC)

Kate Hucklebridge, California Coastal Commission (CCC)

Lisa Wooninck, National Oceanic and Atmospheric
Administration (NOAA)

Bill Foster, National Oceanic and Atmospheric
Administration (NOAA)

Noah Matson, U.S. Fish & Wildlife Service (via WebEx)

Becky Ota, California Department of Fish & Wildlife

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES (CONT.)

PRESENTERS/PANEL MEMBERS PRESENT (CONT.)Interested Agencies and Tribal Engagement

Deborah Halberstadt, California Natural Resources
Agency, Ocean Protection Council

Steve Chung, U.S. Department of the Navy

Thomas Gates, California Energy Commission

Offshore Developers and Service Providers

Kevin Banister, Principle Power

Alla Weinstein, Trident Winds

Jim Lanard, Magellan Wind

Doug Davy, CH2M Hill

Stakeholder Perspectives

Chris Shutes, California Sportfishing Protection
Alliance (CSPA)

John Mellor, Pacific Coast Federation of Fishermen's
Associations

Jennifer Savage, Surfrider Foundation

Garry George, Audubon Society (via WebEx)

Elizabeth Murdock, Natural Resources Defense Council
(NRDC)

Public Comment

Erica Brand, The Nature Conservancy

John Hansen, West Coast Marine Planning

INDEX

	Page
Welcome and Introductions	
Karen Douglas, Lead Commissioner	7
David Hochschild, Commissioner	11
Studies and Research	
Mark Jacobson, Stanford University (via WebEx)	14
Walt Musial, National Renewable Energy Laboratories, (via WebEx)	29
Bill Toman, Institute for Advanced Technology and Public Policy, Cal Poly CalWave, Protean Wave Energy	48
Federal and State Permitting Agencies - Roles and Process	
Moderator: Ella Foley Gannon, Morgan Lewis Law Firm	60
Joan Barminski, United States Bureau of Ocean Energy Management (BOEM)	61
Jennifer Lucchesi, California State Lands Commission	66
Kate Hucklebridge, California Coastal Commission	69
Lisa Wooninck, National Oceanic and Atmospheric Administration	74
Noah Matson, United States Fish and Wildlife Service (via WebEx)	80
Becky Ota, California Department of Fish and Wildlife	93
Lunch Break	

INDEX

	Page
Interested Agencies and Tribal Engagement	
Deborah Halberstadt, California Natural Resources Agency, Ocean Protection Council	146
Steve Chung, United States Department of Navy	157
Thomas Gates, California Energy Commission	167
Offshore Developers and Service Providers	
Kevin Banister, Principle Power	179
Alla Weinstein, Trident Winds	195
Jim Lanard, Magellan Wind	210
Doug Davy, CH2M Hill	225
Stakeholder Perspectives	
Chris Shutes, California Sportfishing Protection Alliance	234
John Mellor, Pacific Coast Federation of Fishermen's Association	247
Jennifer Savage, Surfrider Foundation	256
Elizabeth Murdock, Natural Resources Defense Council	261
Garry George, Audubon Society (via WebEx)	271
Public Comment	
Erica Brand, The Nature Conservancy	277
John Hansen, West Coast Marine Plumbing	280
Adjournment	283
Reporter's Certificate	284
Transcriber's Certificate	285

1 P R O C E E D I N G S

2 MAY 25, 2016

9:30 A.M.

3 MS. RAITT: And we also are going to have a
4 transcript available, so we have a written recording
5 available in about a month. And the audio recording
6 will be available in a couple of days. And both will be
7 posted on our website.

8 And today's agenda is very full. Thank you to
9 all our presenters here today. And we just ask that you
10 do keep to your time limits.

11 At the end of the day there will be an
12 opportunity for public comment and we'll ask each person
13 to limit their comment to three minutes. And if you are
14 interested in making public comments, please fill out a
15 blue card and go ahead and give it to me. And we'll
16 have people first in the room make comments at the
17 center podium, and then we'll move on to our WebEx
18 participants, if they would like to make comments.

19 If you haven't, please sign in at the entrance
20 to the hearing room. All reading materials are
21 available on our website.

22 And we do welcome written comments and they are
23 due on June 8th. And the notice provides information on
24 how to submit the written comments.

25

1 So with that, Commissioner Douglas, thank you.

2 COMMISSIONER DOUGLAS: So, thank you, Heather.

3 And we are uncharacteristically being very rigorous
4 about starting this IEPR workshop exactly on time
5 because we have so much material to cover. And I want
6 to thank everybody who helped us set up this workshop
7 and who's here today to take part in it, or to listen in
8 and make public comment.

9 Let me, just before I start introductory
10 comments, I just want to check on the WebEx, Mark
11 Jacobson, are you on the WebEx? He will be our first
12 presenter if he is live and connected.

13 MS. RAITT: Not yet, so we may need to go to our
14 second presenter.

15 COMMISSIONER DOUGLAS: All right. So, just so
16 everyone knows if, at the end of our introductory
17 comments we don't yet have Mark Jacobson, we'll go
18 straight to Walt Musial to speak.

19 So, just briefly, I wanted to say that I really
20 welcome this opportunity. I've learned a tremendous
21 amount in helping put this workshop together, with the
22 support of my advisers, and the IEPR team. And let's
23 see, Jennifer Nelson, Le-Quyen Nguyen, Kristy Chew, and
24 then Commissioner Hochschild. I particularly want to
25 thank Commissioner Hochschild for encouraging me to

1 engage on this issue.

2 I've spent years, and years, and years focused
3 on Desert Renewable Energy and, more recently, San
4 Joaquin renewable energy. And, you know, that's solar,
5 and wind, and geothermal. And I kept saying, well, you
6 know, offshore wind sure, but really now? And he kept
7 saying, yes. You know, yeah, it's really now.

8 And so, it turned out that it fit very well in
9 the context of this year's Integrated Energy Policy
10 Report, or IEPR because, you know, one of the major
11 themes of this year's IEPR is to look at how our
12 electricity system has changed, especially in the last
13 ten years, given implementation of new policies,
14 particularly the State's climate policies and the RPS.

15 And we have done these kinds of analyses of the
16 environmental footprint and the physical infrastructure
17 of our electricity system. We did one in 2003 and we
18 did one in 2005. And then there was a long hiatus where
19 we were not producing these analyses, and we're picking
20 it up this year.

21 And it's a fascinating time to look at it
22 because you can really see the impact of groundbreaking
23 policies, like AB 32, and SB 1368, which reduced the
24 State's investments in higher-polluting facilities and
25 has triggered a tremendous amount of divestment,

1 ultimately, from coal facilities. We've seen our
2 natural gas fleet get much more efficient. And we've
3 seen a tremendous increase in renewables, both large
4 scale and distributed.

5 And one of the things that the 2005
6 Environmental Performance Report did was it kind of
7 looked forward. And it said, well, what are some of the
8 issues going forward that we need to think about, or
9 foreshadow, particularly in terms of how the system
10 might evolve and the environmental or permitting
11 implications of that.

12 And as we looked through different options, it
13 was very clear that the question of offshore, whether it
14 be wind, or tidal, or wave energy development, the
15 potential for that development was one of those issues.
16 Both because it is extraordinarily complex
17 environmentally, and a lot of our panelists will talk
18 about why, both in terms of permitting and in terms of
19 the actual mechanics of assessing and monitoring
20 impacts, which are difficult in the ocean environment.

21 And, you know, also because, as I've challenged
22 a number of panelists to articulate, this actually is a
23 pretty enticing resource when you think about it in the
24 context of a balanced portfolio that gets us from, say,
25 50 percent renewals to, oh, 80 or 90, or above.

1 And so, I think this is a really timely and
2 important workshop. I again want to thank everyone for
3 being here and being part of it.

4 I did challenge some of the earlier presenters
5 to please include a slide about why we should be talking
6 about this resource given that it is not easy. And I
7 think probably all of them have.

8 And so with that, I really look forward to the
9 day.

10 Commissioner Hochschild, opening remarks?

11 COMMISSIONER HOCHSCHILD: Well, thank you. And
12 thanks, first, to Commissioner Douglas for bringing us
13 together today. It's actually been an absolute delight
14 to work with you these last three and a half years, both
15 because the work you're engaged in, particularly around
16 planning, has turned out to be very prescient. And I
17 know you've spent, you know, seven years on this Desert
18 Renewable Energy Conservation Plan, but also the way
19 you've gone about it has been very, very thorough and
20 deliberate. I think it's really been to the benefit of
21 us all.

22 So, just a few opening thoughts. I do think
23 what we're building here in California is sort of an
24 energy postcard from the future to the rest of the
25 country. And if you just look at the trends here and

1 the way in which other states have already followed
2 suit, you know, we move quickly to get off coal. And
3 now, just to highlight the point, we were at -- the
4 majority of American electricity was powered by coal in
5 2011, 52 percent. And today, the majority of the -- and
6 so, now, this year, it's going to switch. Gas will be
7 the largest resource.

8 And the majority of U.S. coal mines and coal
9 assets today are held by companies in bankruptcy. The
10 top four coal companies in the United States, Peabody,
11 Arch, Alpha and Cloud Peak Energy have seen their market
12 caps decline by 99 percent in the last five years, which
13 is the steepest decline in value, in the history of the
14 energy industry.

15 And what we're building in its place is a clean
16 energy future. And you saw, last year, 65 percent of
17 new electric generation capacity added in the United
18 States came from renewables, and California was the
19 difference maker there. And, you know, particularly on
20 solar and wind, these technologies have fallen almost 60
21 percent in cost since 2010. So, enormous opportunity.

22 And because of the vision of the Governor and
23 the Legislature to establish this long-term policy goal,
24 50 percent renewables, but even before that, the 20- and
25 33-percent targets, that has helped to drive investment

1 into the State. And more clean tech venture capital in
2 California today than all of Europe and all of China,
3 combined. And it's a real testimony, I think, to the
4 future we're trying to build.

5 With wind, in particular, I actually do believe
6 this is going to be -- offshore wind is going to be a
7 viable resource in California. And the goal, really, I
8 think, is to just clarify the pathway for the resource
9 to compete. And then, you know, it will have to stand
10 on its own.

11 But just looking more broadly at the
12 opportunity, I think it's worth noting the other big
13 trend, in addition to the growth of renewables, and the
14 cost reduction of renewables is what's happening with
15 electrification. The State is now underway in this
16 process of what I call the electrification of almost
17 everything. We have 200,000 electric vehicles on the
18 road today.

19 In October, Chevy's coming out with a car that
20 goes -- you know, the all-electric Chevy Volt goes 200
21 miles, for retail, after rebates, of \$25,000. Tesla did
22 the same thing.

23 The following year, we're seeing the
24 electrification of rail from the Caltrans. And, of
25 course, high-speed rail's going to be 100 percent

1 powered by electricity, 100 percent renewable. Even in
2 the new construction sector, new homes now being built
3 with no gas lines, all-electric homes.

4 And existing facilities, such as Stanford
5 University, just got off natural gas and they're doing
6 all their water heating, all their space heating with
7 electricity.

8 All of these things are going to be more demand
9 for renewables. And so, I think that's why the planning
10 work that Commissioner Douglas has been leading is so
11 important. And why the work all of you are doing around
12 this technology we're going to be talking about today,
13 and these resources, matter so much. So, looking
14 forward to the discussion.

15 COMMISSIONER DOUGLAS: All right, thank you,
16 Commissioner Hochschild.

17 So, let me just ask, Mark Jacobson, is he on
18 WebEx?

19 MS. RAITT: Yes, go ahead, Mark.

20 COMMISSIONER DOUGLAS: Oh, fantastic. Thank
21 you. Go ahead.

22 MR. JACOBSON: I'm here. Can you hear me?

23 COMMISSIONER DOUGLAS: Yes, we can.

24 MR. JACOBSON: Hello?

25 MS. RAITT: Yes, we can hear you.

1 MR. JACOBSON: Okay.

2 MS. RAITT: And so, if you can just let me know
3 when you want to change slides, I'll change them for
4 you.

5 MR. JACOBSON: Okay, yeah, so I'm going to talk
6 about, well, how -- or, clean energy plans for
7 California, but also some offshore wind energy work and
8 wave work we've done to look at the resources for
9 offshore California.

10 So, the second slide, please. So, first, just
11 in general we've developed plans for each of the 50
12 United States and 139 countries. And each of these
13 plans, including for California, is to convert the state
14 or country to entirely wind, water and solar power for
15 all purposes. So, that's electricity, transportation,
16 heating/cooling industry.

17 So, as David mentioned before, for electric for
18 transportation we use battery-electric vehicles and
19 hydrogen fuel-cell vehicles where the hydrogen's
20 produced from electricity. For aircraft, it could be a
21 combination of batteries plus cryogenic hydrogen, like
22 the Space Shuttle ran on.

23 For heating/cooling, we'd use heat pumps and
24 some electric resistance for low radar temperatures,
25 some solar hot water pre-heating. For industry, arc

1 furnaces, conduction furnaces, dielectric heating.

2 And then all of the electrified sectors would be
3 powered by onshore and offshore wind, solar
4 photovoltaics, and concentrated solar power, thermal
5 power, existing hydroelectric and some small amounts of
6 tidal and wave power.

7 The next slide, please. So, just to give you a
8 perspective, if you look worldwide, or at least over 139
9 countries we examined, which represent about 95 percent
10 of all emissions of energy, it's about 12 terawatts of
11 end-use power, which is power people actually use after
12 transmission distribution. In California, it's about .2
13 terawatts or 205 gigawatts.

14 If we go to 2050, it's expected to jump to 19.4
15 terawatts worldwide and 229 gigawatts in California.
16 But if we electrify, first of all you reduce power
17 demand by 38 percent worldwide, 44 percent in
18 California, and only about 6 to 7 percentage points of
19 that is energy efficiency improvements beyond the
20 business as usual reductions.

21 Most of it's due to the fact that you eliminate
22 the energy needed to mine -- well, transport and refine
23 fossil fuels. And, actually, a larger portion is the
24 fact that just by electrification it's more efficient
25 than combustion. So, electric cars, for example, about

1 80 to 86 percent of electricity in the car goes to move
2 the car. And the rest is waste heat for a gasoline car.
3 So, only 17 to 20 percent of the energy in the gasoline
4 goes to move the car and the rest is waste heat. So, we
5 need a lot less energy if we electrify things. So,
6 that's a major reason we get such a big reduction.

7 But the goal then is, in 2050, to get, in
8 California, 128 gigawatts of total end use power and
9 worldwide around 12 gigawatts.

10 The next slide, please. So, for California, our
11 plan that we published in 2013, and also delivered to
12 the Governor's office, and it was right before the
13 Governor made the decision to go to 50-percent renewable
14 energy, so I think it may have helped out in that
15 decision, was to -- this plan was to provide all of
16 California's end use power by 2050, and that's for all
17 sectors, with 25 percent onshore wind, 10 percent
18 offshore wind, about 13 percent of solar rooftop PV,
19 divided between residential, and commercial, and
20 government rooftop PV, 27 solar PV power plants, 15
21 percent CSP power plants, 5 percent geothermal, 4 and a
22 half hydro. All of which exist, that's why the number
23 on the right is zero because we don't need any new
24 plants for hydro. Half a percent tidal and half a
25 percent wave. So, that would power all of California

1 for all purposes.

2 The next slide, please. This slide shows the
3 land area required, and there's two types of the land
4 areas, one is footprint and one is spacing. So, the
5 green, for the onshore wind, is all spacing area. That
6 little dot in the center for the onshore wind is the
7 footprint on the ground, how much land is taken up.
8 It's just a few square kilometers, it turns out. But
9 you need about 2.6 percent of the land area for spacing
10 that could be used for multiple purposes, such as
11 farmland, ranchland, or it could be in deserts, like
12 Tehachapi and Palm Desert, for example.

13 But then there's PV and CSP power plants,
14 there's about .6 percent of California's land and that's
15 mostly footprint.

16 The yellow, rooftop PV is a footprint that's --
17 well, it's not new footprint because it's existing
18 rooftop, so you don't view that as -- you don't need any
19 more land area for that.

20 But offshore wind is about .7 percent of the
21 equivalent California land area. So, let me focus a
22 little bit on offshore wind.

23 So, the next slide, please. Well, first, this
24 slide shows kind of world wind resources, onshore and
25 offshore, kind of at a gross level. And you can see in

1 North America you have great offshore wind resources in
2 general, but the water is pretty deep. On the East
3 Coast the water is shallow and you also have great
4 offshore wind resources. And then, in the Great Plains
5 there's strong resources.

6 The next slide, please. And I should point out
7 from that last slide, there's about 5 to 6 times more
8 wind power available worldwide on land, at high wind
9 locations, than you need to power the entire world for
10 all purposes. So, there is plenty of onshore wind,
11 alone, to power the entire world for all purposes,
12 worldwide.

13 But once we get to California, there's a lot of
14 resource but, you know, it's limited by land use
15 constraints. And so, let's look at the offshore.

16 So, the next slide, please. And what this
17 shows, in 2010, a student of mine, Mike Dvorak, did a
18 really detailed analysis of California's offshore wind
19 resource potential. And this shows kind of a summary of
20 the results.

21 And he looked at the resources available in
22 depths of less than 20 meters, less than 50 meters and
23 less than 200 meters. And so, he didn't even look
24 beyond 200 meters. Although, now with floating turbines
25 now available, you can actually go beyond 200. But this

1 is just in the depths, these particular depths.

2 The end use resource, delivered power, so this
3 is not installed capacity available, this is delivered
4 power potential based on both the installed capacity and
5 the capacity factors that were calculated. These are by
6 running a scale model and comparing the model with lots
7 of data, bird data and other types of data. And so, it
8 was pretty well evaluated.

9 But the bottom line was there are about 1.4 to
10 2.3 gigawatts of end use power available in less than 20
11 meters, so that would be monopole type turbines, bases.
12 About 4.4 to 8.3 gigawatts of end use power in less than
13 50 meters, and 53 to 65 in less than 200 meters.

14 So, let's put that in some perspective. Well,
15 the end use power that we need in 2050, for all purposes
16 in California, according to these plans that we
17 developed, were 128 gigawatts. And 10 percent, we're
18 proposing 10 percent of that should be offshore wind, so
19 that's 12.8 gigawatts.

20 And you can see from the numbers above,
21 especially when we get to some floating turbines, at
22 just less than 200 meter depths, that there's way more
23 potential available than to power this 10 percent of
24 all-purpose power that we need for offshore wind, in
25 these plans. So, the resource is there. You know, a

1 lot of it will depend on the cost and getting
2 permitting.

3 In terms of the wave power, we propose we need
4 about .64 gigawatts of end use wave power. And wave is
5 pretty co-located with wind. I'll just talk about wave
6 in a little bit. But a lot of the resource, the storm
7 resource is in Northern California, although there are
8 spots along the coast in Southern California, as well,
9 if you look into the details of the map that's present
10 here.

11 So, the next slide, please. One particular
12 location that Mike had looked at was Cape Mendocino,
13 because this was kind of almost a perfect place for an
14 offshore wind park. And so, he actually looked at that
15 particular location in detail. And just this one
16 example is citing 305-megawatt turbines. And the
17 average capacity factor is around 40 percent, so that
18 would give you -- that's .6 gigawatts of average power.

19 But, you know, and he looked at the
20 transmission, so there's a transmission system on the
21 right here. But, you know, one of the advantages of the
22 offshore wind is you could run a cable right down to San
23 Francisco, for example, as opposed to trying to go back
24 and beefing up the cables from that location to the
25 Central Valley, where's there's the long -- where

1 there's a long corridor of transmission. So, you need
2 some transmission plan along with this, and so some of
3 it might be undersea cables going down the coast.

4 The next slide, please. Now, another thing he
5 looked at was the time dependence of the resource, the
6 wind resource. And this is Cape Mendocino. And what's
7 interesting -- so this is hour of the day for four
8 different months, and representing each season. So,
9 clearly in the summer you're getting the highest wind
10 resource, which is good for California since you get the
11 high air conditioning demand in the summer. So, this
12 would help to allay that.

13 But the other thing to notice is that the
14 resource is pretty smooth all hours of the day, so
15 relatively compared to other locations onshore where you
16 have big spikes and the lulls in the wind power. So,
17 you do have this really, relatively smooth power output.
18 And also, peak power in the afternoon, when you have a
19 sea breeze there's also some months where you have good
20 peak power, as well.

21 So, that's an advantage of offshore wind versus
22 onshore wind is the more smooth overall power output,
23 plus sometimes matching peak demand because of when you
24 have a sea breeze.

25 The next slide, please. Another thing to keep

1 in mind, Eric Stoutenberg had done a lot of studies on
2 wave power. And combining, particularly combining wind
3 and wave power. And he says, although wind power is
4 variable and wave power is a little less variable, it
5 turns out like, you know, just have a part where you
6 have both wind power and wave power together, let's say
7 in this case 50 percent wind and 50 percent wave, you're
8 actually spreading out the overall power output
9 significantly, as well. So, that's another way to make
10 the combination of the two more baseload type power.

11 The next slide, please. But in terms of trying
12 to match power demand, not only do we need the
13 resources, but we will need some storage. So, our idea
14 for storage, we did do a study looking at the -- for the
15 50 United States. Well, the 48 contiguous states, by
16 combining the wind, water and solar power resources,
17 with these low-cost storage options listed here, between
18 concentrated solar power, storage, pumped hydro,
19 existing hydroelectric for electricity, water, ice and
20 rocks for heating and cooling and then using also
21 hydrogen for applications in demand response, we are
22 able -- we did a study where we are able to match power
23 demand with supply.

24 The next slide, please. But let me first just
25 explain some of these storage options. When you

1 electrify all of the sectors, it makes it actually
2 easier to match power demand because you also have more
3 flexible loads. And also, you can combine heating and
4 cooling loads with electric power loads.

5 So, for example, here's an ice storage. Where,
6 during the night, and Stanford has a big ice cube, has
7 had one since 1998 under a building, similar to this,
8 but larger, where, you know, at night when the
9 electricity price is low it creates ice. And then
10 during the day, instead of using electricity during peak
11 times of the day, you run water through the ice, through
12 the coils to cool the water and that goes into the
13 buildings to cool the buildings. And so this is,
14 essentially, electricity storage because it prevents the
15 use of electricity in the afternoon during peak times.

16 The next slide, please. Similarly, Stanford has
17 now a gas plant that, just a few months ago bulldozed
18 it, and replaced it with these two boilers and chiller.
19 And parts of the University need cold, representing by
20 the light blue on the right. And this is a graph
21 showing over the years, the cold and hot peak demand.
22 So, the light blue is the cold demand, the light red is
23 the heat demand. And you can see different parts of the
24 University need cold and heat at the same time.

25 And when you create cold, you produce heat. And

1 when you create heat, you produce cold. So, instead of
2 wasting that heat that's produced when you're creating
3 cold, you actually capture it and then use it to satisfy
4 some of the heat demand. So, you can actually offset a
5 lot of your heating and cooling demand just by capturing
6 hot and cold that's used to create cold and hot,
7 respectively. And that's what these boilers and
8 chillers do. It's a big, elaborate piping system.

9 And then the rest of the electricity, the
10 electricity that's needed is provided by solar, now.
11 So, that gas plant, which was providing 80 percent of
12 the heating and electricity for the campus, is now
13 replaced with these boilers, and chillers, and solar,
14 and heat recovery system.

15 The next slide, please. And then, finally, the
16 other type of storage I want to mention is this seasonal
17 heat storage. So, this is a community in Canada where
18 they have 52 homes and those homes have these solar
19 reflectors on the roof where there's a glycol solution.
20 Now, in the summer, where they have long summer days,
21 they collect the heat in the solution. That solution
22 gets passed by water to heat the water. The water then
23 gets piped underground to heat rocks that are under the
24 grassy field here. And the rocks get heated up to 80
25 degrees Celsius.

1 And then in wintertime, when there's snow on the
2 ground, the whole thing is run in reverse and it
3 provides -- that heat provides 100 percent of the
4 heating for these 52 homes. So, that's called
5 (indiscernible) heat storage.

6 The next slide, please. So, I just want to
7 mentioned then, so we did a study for the 48 contiguous
8 states, including California, looking at like
9 electrifying everything, then providing -- using this
10 low-cost heating, cold storage and electricity storage
11 that I just mentioned, and demand response. And we were
12 able to match power demand on the 2,050 grid across the
13 U.S. a 100 percent of the time every 30 seconds, for six
14 years. And this graph shows that result in the monthly
15 average, where the supply in the red is matching the
16 demand in the blue.

17 And the next slide, please. And this slides
18 shows, broken down for four particular days every hour,
19 and we were able to match power demand and supply. In
20 fact, we were able to match it every 30 seconds for six
21 years. At a cost of about 11 to 12 cents per kilowatt
22 hour, and which was equivalent, similar to the fossil
23 fuel cost. Although, the generation cost of
24 wind/water/solar was less, it had more storage cost and
25 long-distance transmission cost.

1 So, the next slide, please. We're almost done.
2 This shows the unsubsidized cost of energy today, or in
3 2015, for electric power. So, not including storage or
4 transmission, just the generation. And we can see that
5 this is from Lazard 2015. The cost of onshore wind,
6 now, is the cheapest form of electric power in the
7 United States by far. It's almost half the cost of
8 natural gas. Well, the mean for onshore wind is about
9 3.6 cents a kilowatt hour, unsubsidized. And gas, the
10 mean is around 6 cents a kilowatt hour, with a range of
11 5.2 to 7.8. And utility-scaled solar is 5 to 7.

12 Now, offshore wind is more expensive, just
13 because it hasn't been done in any scale, but its costs
14 are coming down.

15 And the other thing to notice is that CSP with
16 storage is now 9 to 13 and a half cents per kilowatt
17 hour, which is less than that for gas peaking, which is
18 16 and a half to 21.8 cents per kilowatt hour.

19 So anyway, the wind, and onshore wind and
20 utility solar are the cheapest forms of electricity in
21 the U.S. today, less than gas. And so this is why
22 generation costs will be lower in the future, but we'll
23 need more storage and transmission, which has been the
24 overall cost similar.

25 But by converting to wind/water/solar, we

1 eliminate another 25 cents a kilowatt hour in health and
2 climate costs. Most of it is actually health costs.
3 It's about 15 cents is health costs and 10 cents is
4 climate costs in 2050, per kilowatt hour. So, we're
5 reducing social costs, so the total cost of energy by 60
6 percent by doing this conversion.

7 The next slide, please?

8 MS. RAITT: Okay, just to let you know, we just
9 need to close in a few minutes.

10 MR. JACOBSON: Yeah, okay. Well, this is just a
11 transition saying we're trying to convert 80 percent by
12 2030 and 100 percent by 2050. And I'll skip this.

13 So, the next slide, please. This last, main
14 slide is the U.S. is -- so, we developed the 50-state
15 plans. They have made some headway in California and
16 New York. Both have adopted the 50-percent goals by
17 2030, which are about 62 percent of our 80-percent-by-
18 2030 goal.

19 The House of Representatives has a resolution
20 that's being proposed, that has 44 co-sponsors, HR 540,
21 for the United States to go 100 percent renewable
22 energy. But we'll see how far that goes.

23 And the next slide, which is the last slide,
24 just a summary. By converting California to 100 percent
25 in water and solar, we reduce 2050 power demand by 44

1 percent, eliminating about 12,500 air pollution deaths
2 per year, which would save the State \$130 billion per
3 year in health costs, and associated lost work days,
4 lost school days, hospitalization costs, insurance
5 rates, higher insurance rates, higher taxes, et cetera.
6 It would eliminate \$240 billion per year in global
7 climate costs due to California emissions, alone.

8 Each person would save about \$160 per year in
9 fuel costs and \$7,200 per year in health and climate
10 costs.

11 And it would create 45,000 more jobs than lost
12 in the State of California. The cost of the
13 wind/water/solar plus storage and demand response would
14 be about 11 to 12 cents per kilowatt hour. And which
15 would require about .6 percent of land for footprint and
16 2.6 percent for spacing.

17 It would make California energy independent,
18 reducing international conflict, create distributed
19 power and reduce tariffs and catastrophic risks because
20 we have more distributed power. It would reduce energy
21 poverty worldwide if this is implemented in a large
22 scale.

23 There are barriers, including upfront costs,
24 transmission needs, lobbying and politics. We don't
25 find materials as a limit.

1 And if you go to the next slide, there's just
2 some websites that have more information. So, thanks
3 very much.

4 COMMISSIONER DOUGLAS: All right, thank you very
5 much. And, you know, obviously that's a big-picture
6 perspective. As we move from 33 percent or to 33
7 percent, and then to 50 and then, you know, beyond, I
8 think we'll have a lot of challenges to overcome. And
9 one of those is scale on some of these different
10 technologies and opportunities.

11 But it's helpful to get a vision of one way that
12 this could look.

13 And with that, why don't we go on to Walt
14 Musial, with NREL.

15 MS. RAITT: Okay, Walt, I think your line's
16 open.

17 MR. MUSIAL: Good morning. Can you hear me?

18 MS. RAITT: Yes, thank you.

19 MR. MUSIAL: Okay. Okay to start?

20 MS. RAITT: Yes, please go ahead and start.

21 MR. MUSIAL: Well, thank you, everyone. And
22 thanks to the California Energy Commission and the
23 Commissioners for inviting me to speak today.

24 I'm proud of the fact that I spent the first
25 five years of my career in California, working on the

1 development of the land-based wind energy industry,
2 under the policies of Governor Brown. And so, I'm
3 really proud to be back here, talking about offshore
4 wind, now.

5 And I wish that I was there. Today, I'm
6 speaking to you from Colorado.

7 And I'm going to emphasis floating offshore wind
8 technology because of what's been said, that we have
9 resources in California that are both in fixed bottom
10 and floating. I think the big gigawatt potential is in
11 floating offshore wind. And I know that the perception
12 of floating has been that that's a fairly immature
13 technology and something of the future.

14 So, hopefully, today I will give you some more,
15 some updated information on how this technology is
16 rapidly developing.

17 I've been working with the Department of Energy,
18 over the last year, to develop a new strategy for the
19 Department of Energy, after the last strategy has kind
20 of reached a milestone and some end points. And we've
21 been working on some broader studies of offshore wind
22 that touch on the resource, the opportunity space, the
23 costs, and the economic potential for offshore wind.

24 And this presentation, that I'm about to show,
25 will really show some of the early results of some of

1 that work and, hopefully, it's some new information to
2 you.

3 The next slide, please. So, this is just a
4 quick outline of what I'm going to present. I'm going
5 to quickly talk about NREL, I think you know who you
6 are, the technology, the market. I'm going to talk
7 about some of the resources. And some of the future
8 costs and performance studies that are just now being
9 developed for floating offshore wind and maybe give some
10 perspective on that.

11 The next slide, please. This is just our campus
12 at NREL. This is in Colorado. We have about 320
13 employees and I think you know who we are.

14 The next slide. We are the only National
15 Laboratory that's dedicated to the development of
16 renewable energy resources and this is kind of how our
17 portfolio is distributed.

18 If you click once on this, I think you'll see
19 this is where I am. It's in the Wind and Water Program,
20 which is at the National Wind Technology Center, and
21 that's where I'm speaking to you from today, just to
22 give you a kind of a perspective on that.

23 The next slide. Please come talk to me, or e-
24 mail me, or text me if you want to know about NREL.

25 I'm going to start in by talking about the

1 floating technology and try to give you an update on
2 where this stands right now.

3 The next slide. This is kind of an overview
4 slide of where we are. And I think a lot of this may be
5 familiar to some people. But floating, this is a
6 review, let's say, floating offshore wind turbines and
7 technology are rapidly evolving from the fixed bottom
8 industry. We've been actually working on this here, at
9 NREL, for over 12 years.

10 The similarities, though, with fixed bottom
11 systems, especially with the turbines that are being
12 used today, the marine operations, the siting practices
13 in some cases, and regulatory practices are definitely
14 being leveraged to start a floating offshore industry
15 that's in parallel with the fixed industry.

16 The resource for floating, and this is a big
17 motivation for developing the technology, is larger in
18 many cases and, in many places, has fewer conflicts with
19 the use of the sea, the ocean and environmental aspects,
20 as well. Of course, that has to be handled on a case-
21 by-case basis.

22 The costs, as have been noted, are higher for
23 floating at this moment in time, but that's because
24 there's only been a few deployments so far, and the
25 prototypes that have been deployed are not optimized.

1 But over time, indications are that because the
2 floating technologies can introduce reduced marine
3 operations and some of the problems with fixed bottom
4 systems can be overcome readily with floating
5 technology. We think that any of the more expensive
6 aspects that might be associated with the platforms, and
7 the moorings, and the anchors would be offset. And,
8 actually, have the potential for costs that might be
9 competitive or even lower than fixed bottom systems.

10 And we see that there's really further
11 optimization benefits that might come after there's
12 market visibility into the floating area.

13 And again, I work on all aspects. So, I'm
14 looking at floating as one part of it. The three
15 turbines that you see on the right side represent the
16 substructures that are being developed and tested right
17 now. And they're all, if you look at them, they're all
18 stable in the configuration that they're shown in right
19 now.

20 But what's driving some of the early development
21 is that stability is not achieved until you anchor them
22 down. And so, we see in the early phases in this
23 industry that the ones that are stable during deployment
24 are the ones that are looked at more readily. And
25 you'll see that the semi-submersible is stable because

1 it's buoyancy and it's easy to tow up.

2 But there are lots of innovations that are going
3 on with the spar and with the TLP that are also creating
4 the ability to deploy those in a stable form, and allow
5 those to be competitive, as well. So, that's still in
6 the future and still being worked on.

7 The next slide, please. Some of the other
8 challenges with floating offshore wind, of course
9 lowering the levelized -- the levelized costs. The
10 designs that are being used right now are dependent on
11 fixed bottom practices because that's where there's
12 market visibility and that's what the industry is
13 leveraging. But the optimized systems won't necessarily
14 have those dependencies as the market develops.

15 Floating design standards don't exist right now
16 in a mature form and so those are being worked on right
17 now, and with the help of BOEM, I think and with DOE,
18 that some of those standards are evolving right now, as
19 we speak.

20 There needs to be more experience directly with
21 the electric and dynamic cabling systems, and those are
22 something that's really being adapted from oil and gas,
23 and fixed bottom systems.

24 And specifically, on the last bullet, the
25 Pacific Sea states are higher than the Atlantic and

1 there will be challenges with operations and maintenance
2 that are happening there.

3 But I've been looking at some of the innovations
4 that are coming out from there and it seems like those
5 are challenges that can be addressed with some of the
6 new vessels that are being developed.

7 The next slide, please. One of the indicators
8 that we've looked at as to, you know, what the world and
9 the industry is doing, and the interest that's being
10 generated around floating wind have to do with the R&D
11 activities, and the investments that are being made in
12 this.

13 And this is a summary of a database that we've
14 been collecting on how much money is being spent on
15 floating systems in the world today, broken down by
16 Asia, Europe, and North America.

17 And the green text, in parts of these bar
18 charts, show the R&D investments. And we tried -- this
19 isn't perfect, but we tried to break this down based on
20 the amount being spent on the demonstration projects,
21 the amount being spent on actual R&D activities. And
22 you can see, these are in large numbers, in tens of
23 millions of dollars being spent, now, to investigate
24 these systems. Some of that being in the United States.
25 A lot of it being outside of the United States, in

1 Europe and Asia. And this is new stuff that we're
2 starting to see.

3 The Asia Pacific is really a little bit of a
4 guess based on what we think that the Japanese are doing
5 and a lot of that is going into Japan. And some of that
6 probably could be considered R&D money.

7 The next slide, please. So now, I'm going to
8 talk a little bit more about the market and that's
9 probably a good segue into it.

10 The next slide. The market, a lot of times this
11 is broadly the offshore wind market, was covered in a
12 report that we published in September of 2015, and you
13 can see the cover of that, and you can Google this
14 report.

15 But a lot of the next few charts were taken
16 directly from this and they're based on a database that
17 NREL keeps and maintains. And I'll be using that data
18 directly. It's about six months old, now, so it hasn't
19 been updated since this report, yet, but it gives you a
20 pretty good idea of where we're going.

21 The next slide. This is a chart that shows the
22 pipeline. And by that I mean we're tracking all of the
23 projects that have entered into the regulatory process
24 in Europe, and in North America, and in Asia. And this
25 is an excellent way to track the activity of the market

1 and what it's doing.

2 And we're seeing that the pipeline for offshore
3 wind development is huge. It's almost 250 gigawatts.
4 And a lot of it's still in the planning and the
5 permitting process. But as it funnels into the
6 construction and financial section of this thing it
7 becomes, you know, almost a certainty that it will get
8 developed. And we can track those projects based on the
9 characteristics of those projects and see.

10 And this actually gives the OEMs and the
11 manufacturers some certainty in making investments into
12 better turbines, and better manufacturing facilities,
13 and infrastructure as we go forward.

14 And one of the problems is we don't see this
15 type of pipeline, yet, for floating systems. And we
16 think that's just a matter of time, probably.

17 The next slide, please. With regard to, still,
18 the fixed bottom industry, and this is a bubble chart
19 showing pretty much all the projects that are in that
20 pipeline right now. And the size of the bubble, of
21 course, relates to the size of the project.

22 The color of the bubble relates to the status
23 that it's in, in that pipeline. So, the dark blue dots
24 are the actual projects that have been installed. And
25 the ones that are open are further out.

1 You can see the trends are deeper water and
2 further from the shore. And this is important because
3 both of those things add cost to the projects and it's
4 the reason why we haven't seen cost declines over time,
5 as much as were expected. In fact, we've seen costs go
6 up in some cases.

7 And that's starting to change, now, because the
8 cost of these offshore projects have gone up, but there
9 have also been cost declines that have offset those.

10 The next slide. We're starting to see that cost
11 curve. This is the Capex of those projects over time.
12 We're starting to see that cost turn the corner, now,
13 and the costs start to come down. And this chart shows
14 that that trend is beginning.

15 We know this is a real trend because we're
16 tracking projects and the cost of those projects on the
17 financial close information that we can get from those
18 projects. And we see that, that it is coming down. And
19 we'll be tracking that over the next -- as time goes on,
20 as well.

21 The next slide. So, this is the slide that I
22 just recently updated and put together. This is new
23 from the -- this isn't in the market report. This is
24 something that is up to date as of last week. And what
25 I tried to do is take everything that we know about

1 floating wind energy technology and we put it on this
2 market timeline, and tried to (indiscernible) -- the
3 same type of regulatory status that the fixed bottom
4 systems were in.

5 And you can see that that line in the middle is
6 today. And anything to the left of that is what's
7 happened so far. And the stuff that's to the right of
8 that is what we anticipate.

9 And so the market, as you can see, is growing.
10 And notably, probably the biggest thing that's happened
11 recently is this High Wind Scotland Project. It's the
12 first zero series production project that's just been
13 approved in Scotland and is likely to be installed next
14 year. So, that's exciting and that's happening for the
15 floating offshore wind industry.

16 But there are other projects. There's the U.S.
17 projects, Wind Float Pacific and Aqua Ventus, which may
18 be materialized as far as the DOE program's concerned.
19 There's Wind Float Atlantic. There's the Japanese
20 projects in Fukushima that are going forward, as well.

21 And then there are big projects that are being
22 proposed in the U.S., in Hawaii, and also the one that
23 you're aware of for Trident Winds, in Morro Bay.

24 So, we're keeping an eye on that, but we're
25 seeing an acceleration in kind of the knee in the curve

1 in the market development.

2 The next slide, please. So, now I want to talk
3 about the resource a little bit more and then we're
4 probably come back to that market a little bit.

5 The next slide. The maps shown in this slide
6 here come directly from our Wind Prospector Tool. These
7 are the statistical, long-term averages that I'm sure
8 you've seen before. And this is what we've validated.
9 They're probably not perfect, but they do give an
10 indication of where the strong winds are, out to 50
11 nautical miles. And this is a rough snapshot of these
12 from Northern, Central and Southern California.

13 The next slide.

14 MS. RAITT: Just to let you know, we have about
15 five more minutes.

16 MR. MUSIAL: Okay, I'll try to move fast, then.
17 These pie charts show new results from our resource
18 study. Probably focus on the right side, which is the
19 technical resource, whittled down from a lot of --
20 basically, trying to be conservative about what's
21 actually developable in the technical resource of
22 California.

23 And these are the conclusions we came to. We'll
24 be putting a report out that talks about this. And in
25 the interest of time, I'm going to go to the next slide

1 here and talk about how we use this to generate hourly
2 data.

3 We take these statistical data and we merge this
4 with the MERA data, which is the Modern Era data from
5 NASA, and put together an hourly wind speed data series.
6 And this was sponsored by BOEM. In order to allow us to
7 look at how the wind relates to load.

8 The next slide.

9 COMMISSIONER DOUGLAS: And I think -- this is
10 Commissioner Douglas. I'll just step in. If it takes
11 an extra five minutes to finish the slides, I think
12 we'll indulge. This is really helpful information. Go
13 ahead, thank you.

14 MR. MUSIAL: Okay, thank you. Thank you, I
15 appreciate that and I'll try to be brief.

16 So this last section, and I put this in, this is
17 where we try to put this all together. We are working
18 to try to help inform the RPS calculator that's used by
19 the CPUC to look at the costs, and compare costs of
20 different technologies, and this is part of that work.
21 It was, early on, sponsored by the Bureau of Ocean
22 Energy Management.

23 The next slide. So, this describes kind of the
24 process of how we went about doing this. We took six
25 hypothetical sites along the whole coast, just to see

1 what would happen. And we looked at costs from present
2 day out to 2025, because we were basically using a model
3 that was available to us, and in conjunction with BVG
4 consulting, and this KIC Innovate Energy that is from
5 the UK. And they did an extensive modeling exercise and
6 developed a tool to predict future costs of these
7 technologies, which we looked at.

8 We developed our own reference turbines for 6, 8
9 and 10 megawatts, because that's what the industry is
10 projecting the size of the turbines will be in these
11 time frames that I just mentioned.

12 And then we used Windographer to kind of develop
13 energy and cost curves for this whole thing. And I'm
14 going to be -- I'll just kind of go through this
15 quickly.

16 The next slide. So, we looked at the sites and
17 all along the coast, and we tried to pick sites that had
18 greater wind speeds than 7 meters per second, shallower
19 than 1,000. They were the lowest use conflicts that we
20 could find with the data we had available. And we
21 aren't saying these are necessarily good sites, but
22 they're sites we thought would have the potential to
23 support large scale offshore wind.

24 The next slide. And this is kind of the results
25 of that analysis. There were six sites, starting down

1 at the Channel Islands. There was one here in Morro
2 Bay. One up north of San Francisco. And then two kind
3 of up on the Northern Coast. So, one through six, you
4 can see on the right side. And they're just traced out
5 there in red, a little hard to see.

6 But each of those sites corresponds to one of
7 the curves on the upper left. And this is what we got
8 when we ran the wind speeds for those sites through our
9 power curve. And this is for the 6 megawatt power curve
10 on those sites.

11 And you can see how the diurnal variations
12 change from site to site, and during the day, and this
13 is for the month of March. This is like the average
14 diurnal variation for the month of March. And you can
15 see there is a pattern. The diurnal pattern varies. We
16 have a low kind of in the early morning and a peak that
17 extends, and comes out around 5:00 to 7:00 at night.

18 And when we look at this, the bottom curve is
19 just how those same six sites match up against the month
20 of the year, where you have peak winds during the middle
21 of the summer. So, this would have been the third month
22 and kind of ramping up. But, yeah, good wind all year
23 around.

24 The next slide, please. When we match up these
25 power outputs against the so-called Duck Curve, which I

1 think everybody is familiar with, that it does look to
2 us, at least, like these diurnal -- first of all, they
3 don't -- they change a little bit from north to south,
4 but they're pretty consistent as you go up the coast.
5 And they are -- the peaks seem to correlate very well
6 with the demand in the areas. And the characteristics
7 are complementary to the solar and to other aspects of
8 the Duck Curve that people were interested in, when we
9 talked to them. And so, I wanted to show this, it's
10 kind of one of our results from looking at this.

11 The next slide. Then, we took our technology
12 assumptions and this is -- I don't have time to go into
13 all of the assumptions that were used in developing
14 these. But looking at the -- at least the three
15 different turbines today, 6, 8 and 10, and how those
16 turbine technologies are expected to evolve. And about
17 40 or 50 other technology innovations that go into this
18 (indiscernible) tool that we're using. We've documented
19 and laid out what our projections would be for costs
20 over this time frame.

21 The next slide. And this is some of the results
22 we did. And this is the same six sites that we looked
23 at, site one through six. We plotted the capital cost,
24 the operational cost, the net capacity factor of those
25 turbines.

1 And then, in the lower right-hand side is the
2 levelized cost of energy. And you can see that at all
3 those sites, and they do have a range, we're projecting
4 a cost that would be somewhere between, a little below
5 10 cents a kilowatt hour, and something like 12 cents a
6 kilowatt hour by the year 2030.

7 And this is, I think, a fairly conservative
8 analysis. We're seeing, actually, a lot better than
9 that in some sites on the East Coast. And this is
10 preliminary analysis, I would characterize it. But this
11 is the kind of cost reductions that we're seeing right
12 now for floating offshore wind technology.

13 The next slide. I think I'm wrapping up, now.
14 So, I just want to reiterate we're seeing the large
15 pipelines of the global offshore market, 250 gigawatts.
16 We're not seeing that, yet, for the floating offshore
17 turbines because it's a nascent technology. But the
18 market is growing and there is indications that it's
19 going to keep growing.

20 Floating offshore wind costs are higher, but
21 they are -- but the potential for cost reduction is
22 high, also, and we're seeing that they can come down.
23 And if there are enough characteristics of floating
24 offshore wind that are beneficial, and actually can
25 offset some of the challenges that we're already seeing

1 in fixed bottom systems, that there's good indication
2 that floating can be competitive, if not cheaper than
3 fixed --

4 COMMISSIONER HOCHSCHILD: Hey, Walt, this is
5 Commissioner Hochschild, if I could just interject with
6 a question. Which is, just really briefly, if you have
7 any data on maintenance cost differences? Because,
8 obviously, a typical land-based wind project, you know,
9 they're doing maintenance twice a year, getting up into
10 the cell for a day or two. And, obviously, doing that
11 in the ocean presents different challenges.

12 I'm just curious if you have any operational
13 cost data about what the additional maintenance costs
14 are for offshore wind projects relative to onshore?

15 MR. MUSIAL: Yeah, and the models for
16 operational costs are much more sophisticated offshore.
17 On the previous slide, if you can just go back one, this
18 is a real summary, but that the operational expenditures
19 are in that lower left-hand graph.

20 There's a lot of data that backs that up and
21 that goes into that. And there's a lot of new
22 assumptions that we're working on to deal with the sea
23 states, in particular. Because when we go to do the
24 maintenance, it's actually very simple. But if the sea
25 state's too high, the turbines aren't accessible, and

1 then that detracts from the energy that they can
2 generate and it adds cost to the service.

3 But we're using the ECN model that we've
4 modified and used for our own purposes here. And that's
5 probably the best O&M tool that there is out there right
6 now for offshore wind. And we can get into it some
7 more.

8 COMMISSIONER HOCHSCHILD: Okay, thank you.

9 MR. MUSIAL: Yeah. Okay, so I just -- and then,
10 I guess my final point here was that I think that the
11 preliminary analysis that we've showed is -- I think it
12 warrants a closer look to how it might benefit the
13 California picture, especially getting to 50-percent
14 renewables and beyond 50-percent renewables in
15 California.

16 And my next -- so, that's the end of my
17 presentation. The next slide just is a bunch of
18 references that I used and you can dive deeper into any
19 of this stuff, if need be. And please, on the final
20 slide, e-mail me if you have any questions, and I'd be
21 happy to answer any questions you have now.

22 MS. RAITT: It looks like we don't have any.
23 But thank you so much for your presentation.

24 MR. MUSIAL: Thank you.

25 MS. RAITT: So, next is Bill Toman, and you can

1 come here and change slides or I can change them for
2 you, just let me know.

3 MR. TOMAN: Push. Thank you very much. Thank
4 you very much for having me here today, Commissioners.
5 My name is Bill Toman. I live in San Luis Obispo. I
6 actually live right on Morro Bay. And I'm working with
7 Cal Poly, San Luis Obispo, on a project that is funded
8 by the U.S. Department of Energy. And in part, now, by
9 the State of California, I'm very pleased to report,
10 called the CalWave National Wave Energy Test Center.

11 This is going to be a talk about what wave
12 energy is, why it may matter in California, what a test
13 center is, why California is a good place for such a
14 test center. And, also, some issues associated with the
15 permitting of offshore renewables, which could be
16 applicable to both offshore wind and wave energy.
17 Stakeholder relations also covers both of those
18 technologies.

19 And so, siting, and regulatory issues, and
20 licensing are shared tremendously between offshore wind
21 technology projects and wave energy. And to some
22 extent, tidal energy, as well.

23 And as just a brief background on my history,
24 I'm a power plant developer by profession, a nuclear
25 engineer by training. Three years ago, now, my baby,

1 the Russell City Energy Center in Hayward, California,
2 came online, a 600-megawatt, gas-fired combined cycle
3 plant. And I have served as the head of the Wave Energy
4 Program of Pacific Gas & Electric in the past.

5 And so, offshore renewables in California has
6 been a passion of mine for some time now. And
7 tremendous initial work was done by PG&E with their Wave
8 Connect, Wave Energy Project of siting, licensing wave
9 energy projects here, in California. And also was
10 involved with tidal energy project in the Golden Gate
11 Strait area of the San Francisco Bay.

12 In 2013, the Department of Energy, DOE, gave a
13 \$750,000 grant to Cal Poly and gave a similar sized
14 grant to Oregon State University. Go Beavers. To look
15 at the feasibility of siting, permitting, constructing a
16 national wave energy test center.

17 Wave energy is a very new technology. There's
18 nothing commercial in the world right now. But there
19 are several dozen firms that are involved worldwide in
20 developing wave energy technologies. These are
21 technologies to convert the kinetic and potential energy
22 in waves traveling across the ocean into usable energy,
23 such as electricity, or perhaps in pumping water through
24 a desalination RO process.

25 My opening slide here is an actual photo of a

1 whale breaching in front of the entrance of Morro Bay,
2 California. That is Morro Rock in the background there.
3 It's actually a volcanic pluton. And in the background
4 are the three stacks of the now permanently shuttered
5 fossil fuel power plant, the Morro Bay Power Plant,
6 owned privately. Originally constructed by PG&E. Oil
7 fired and then later converted to gas fired, is now
8 being completely, permanently shut down.

9 The important point about this, that I'll get in
10 a later slide, is that while the power plant may have
11 shut down, and I do not know its disposition, but the
12 PG&E-owned substation, the Morro Bay Substation, right
13 next to it, which received the power from this power
14 plant is still there. It's still part of the grid. It
15 still has 220, 230 KV lines connecting it to the rest of
16 the grid in California. And it is a ready socket, if
17 you will, on the coastline for offshore renewable
18 projects to plug into, in the manner that the original
19 fossil fuel plant did.

20 The next slide, please. And before I run
21 through this, at Cal Poly, the Institute for Advanced
22 Technology and Public Policy, is the home of the CalWave
23 project. The director of that, the founding director is
24 former California State Senator, Sam Blakeslee. He
25 sends his regards. And he's shown tremendous leadership

1 and vision in helping to facilitate this particular
2 project.

3 So, with wave energy, you don't have test tracks
4 in the ocean. If you're developing a racecar, if you're
5 developing a photovoltaic technology you can race cars
6 at test tracks in various places around the country, on
7 land. And with, say photovoltaics as an example, you
8 can be next to an existing substation and hook into
9 that, and demonstrate your energy technology.

10 With wave energy and it goes to say with
11 offshore wind energy, and especially floating wind
12 energy, there is no substation in the ocean. And so,
13 having the infrastructure for a wave test facility in
14 the form of berths, with mooring infrastructure, with a
15 submarine power cable to bring the power ashore, but
16 also the siting and permitting of a test center to lower
17 the barrier to entry for new technologies from startup
18 companies that have great ideas, but not a lot of
19 capital and testing is a very, very expensive
20 proposition in the ocean.

21 We've got a two-year grant from the Department
22 of Energy. We will be completing, mid-2017, a final
23 report about how much it would cost, how long it would
24 take to permit, what are the permitting and regulatory
25 issues, what are the stakeholder issues for citing a

1 wave test center.

2 We're very pleased to report that a partner in
3 the project is Vandenberg Air Force Base. This will be
4 cited five miles offshore of Vandenberg, in Northern
5 Santa Barbara County, just north of Point Conception.
6 Waves are great north of Point Conception. Offshore
7 wind is pretty good north of Point Conception.

8 As the two previous presenters have pointed out,
9 Northern California has really fantastic offshore wind
10 and better wave energy, as well. The problem is, is
11 that the people live down here. And the grid
12 infrastructure is down here.

13 So, my job, in part, is to act as a project
14 developer, taking the market characterizations of Mark
15 Jacobson and the technology characterizations of Walt
16 Musial, earlier, and look at what are the local siting
17 issues, the stakeholder issues. How can you actually
18 facilitate and actually get something built for a
19 project in real time.

20 We're looking at having a testing center that
21 has four testing berths in it, and I'll show you a map
22 in a moment, each that will be around 10 megawatts of
23 generation capability handling. We're probably going to
24 be coming online, if we're funded by Congress, 2021,
25 2022.

1 And most likely, the wave energy devices that
2 will be tested at CalWave are still on the drawing
3 boards right now. So, it's kind of a faraway
4 infrastructure project for long-term national interest.

5 The next slide, please. Why wave energy? And
6 as you saw in Mark Jacobson's slides, the projected
7 resource for wave energy is quite a bit smaller than
8 offshore wind, on the other hand. There are unique
9 generation characteristics of wave energy that, as he
10 also pointed out, combine well with other renewable
11 energy intermittency. So, terrestrial wind and solar
12 have gaps throughout the day, in the year.

13 Wave energy is more consistent. But the
14 important thing about wave energy is that it's very
15 highly forecastable. So, we can look at satellite data
16 and ocean buoy measurement data and forecast three, four
17 days in the future how much wave energy is going to be
18 striking the California coast.

19 And so, having worked at a utility, having
20 worked at two utilities, I can tell you that the grid
21 planners relish having this kind of advance notice for
22 how much energy can be produced by a particular
23 facility.

24 I'm a huge advocate for solar energy. But a
25 cloud goes over a PV farm and you can get a dramatic

1 drop off in the power production. Similarly, with wind
2 fall offs, with virtually no advance notice. Wave
3 energy is a way to kind of fill in those gaps in a
4 portfolio of renewable energy options.

5 The other nice thing about offshore renewables,
6 wave energy being one, but offshore wind as well, is
7 that California has -- most of its people live on the
8 coast, within 50 miles. We have, you know, San Diego,
9 and Orange County, the Los Angeles area, the Santa
10 Barbara area, on up to San Francisco. Most of the
11 State's population lives within 50 miles of the coast.

12 Most of the power generation facilities and
13 electric grid are also along the coast.

14 And so, it turns out that in the previous
15 generation of power facilities in California, the
16 thermal boiler power plants that dot the coastline,
17 they're being phased out. The power plants aren't being
18 phased out, themselves, but the cooling system is, the
19 once-through cooling. And it's probably difficult to
20 cost justify back-fitting a replacement cooling system.
21 And so most of these 1960's vintage power facilities are
22 being phased out, leaving their coast-side, large
23 capacity substations to be repurposes and reused for
24 offshore renewables.

25 This is a unique property of California that our

1 northern neighbors in Oregon, and Washington, and Alaska
2 do not share.

3 Another element that makes wave energy more
4 attractive here in California is that a lot of the
5 marine supply chain, the ports, all the fabricators that
6 support the 27 existing offshore platforms, oil
7 platforms off of California, come out of Los Angeles,
8 Port Hueneme, or Carpinteria. And they can be
9 redispached to support offshore renewable projects, as
10 well.

11 The next slide, please. And before I go through
12 the State of California, one number that is out there,
13 that I think is consistent with Mark Jacobson, that they
14 put out, is that the California Energy Commission, in
15 their study of ocean wave energy, looked at around
16 750,000 megawatts of usable wave power off of
17 California. So, it's not trivial, but it's not as big
18 as offshore wind.

19 Pleased to report that very recently Governor
20 Brown sent a letter to Secretary of Interior Jewell,
21 asking that a Federal/State of California task force be
22 formed to support offshore renewable projects, and
23 specifically mentioned the CalWave project in this
24 letter. We're very pleased for the Governor's
25 leadership on this phase of incorporating offshore

1 renewable energy in California.

2 And also pleased to announce and to thank
3 Secretary John Laird, of Natural Resources Agency, they
4 are putting up \$125,000 of cost share towards the
5 Federal grant from the Department of Energy for the
6 CalWave project. Mostly in the form of staff time for
7 things like this Federal/State combined task force. And
8 also, to help coordinate the State Agency's needs with
9 that of the Federal Agencies.

10 The next slide, please.

11 COMMISSIONER DOUGLAS: So, I'm going to ask just
12 that you accelerate the progress of the slides. We've
13 got about five more minutes allocated to this panel.
14 And despite the next panel being -- you know, having a
15 lot of material to cover, I think given that it's two
16 hours long, we should probably have a short, unscheduled
17 break before we start it.

18 MR. TOMAN: I will finish in five minutes.

19 COMMISSIONER DOUGLAS: Thank you.

20 MR. TOMAN: We'll have to skip through some of
21 the slides here. Not many to go here.

22 Just to point out, just really fast with this
23 slide, and then we'll move through the others, a very
24 large team, very diverse subject matter experts across
25 the board, including NREL. But also for universities,

1 including Humboldt State University, Cal Poly, and UC
2 Davis, as well as the Scripps Institute of Oceanography.
3 So, California universities are well represented here.

4 The next slide, please. Really fast, this is a
5 map of the offshore area from Vandenberg Airforce Base.
6 In the lower right-hand corner is Point Conception.
7 We've looked at five potential to put the wave test
8 center. We're focusing on the two lower most. It turns
9 out that is also the furthest away from Morro Bay. And
10 the Morro Bay fishermen, who we talk with often, tell us
11 that that is a preferable location for them as they
12 don't seem to go down that far south, in the angry seas
13 off of Point Conception. And it's a little too far
14 north for the Santa Barbara commercial fishermen, as
15 well.

16 The next slide, please. The nice thing about
17 Vandenberg, by the way, is that they will receive the
18 power cable coming ashore, with the power generated from
19 the test center, which they will purchase and use on the
20 base to satisfy their Department of Defense renewable
21 energy requirements.

22 This slide just really quickly just shows there
23 already are lots of restrictions on fishing and other
24 activities in the ocean around the Point Conception
25 area. We have to carefully thread the needle where the

1 proper site is for something else out in the ocean.

2 The next slide, please. Twenty-seven different
3 regulatory agencies that we'll have to work with, in
4 consultation, to get the regulatory and permitting
5 regime understood and completed.

6 The next slide, please. And we're looking at
7 probably around a three-year time frame of coordinating
8 everything from getting a seabed lease from the U.S.
9 Bureau of Ocean Energy Management, to having other
10 regulatory approvals and stakeholder involvement.

11 The next slide, please. We've had good initial,
12 both public and agency, stakeholder outreach meetings.
13 Once again, this is a feasibility study. Until we get
14 the environmental studies actually done, the fishermen,
15 for instance, won't be completely comfortable until they
16 get all the facts in front of them. We honor our
17 stakeholders, as this is their livelihood, and we would
18 like to coexist with that livelihood.

19 The next slide, please. The feedback is, once
20 again, down by Point Conception not a lot of fishing
21 activity. There is a proposed -- there's a nomination
22 for a Federal Marine Sanctuary, the Chumash Heritage
23 National Marine Sanctuary. That is in front of NOAA
24 right now. That is going through its official process.

25 Our outreach to the Chumash Northern Council and

1 the Sierra Club has been positive in understanding there
2 is a compatible co-use of marine renewables with the
3 mission and desires of their sanctuary.

4 And we've just seen, this month, a letter from
5 Director Bill Douros, of NOAA, stating that he believes
6 there are grounds for finding of compatibility of
7 offshore renewable uses with the sanctuary's mission.

8 The next slide, please. That's it.

9 COMMISSIONER DOUGLAS: Well, thank you. That
10 was a fantastic presentation. And, obviously, I think
11 Doug Davy and the Developers Panel has worked with you,
12 as I understand. And so, we'll be hearing more
13 experiences that the CalWave Project has had because it
14 is helpful, on-the-ground permitting experience as
15 they've been working their way through the process.

16 So with that, we will take a short, unscheduled
17 break. Please be back and ready to start at five
18 minutes to 11:00. So, we have a little over ten
19 minutes. Thank you.

20 (Off the record at 10:45 a.m.)

21 (On the record at 10:55 a.m.)

22 COMMISSIONER DOUGLAS: I see our panel is
23 reconstituting itself right on time. I really
24 appreciate it. And I'll just say, quickly, this panel
25 is where we start getting into the nuts and bolts of the

1 permitting process. We have asked most, but not all,
2 just because, you know, there are many, many, many types
3 of permits that these projects can trigger. But we have
4 asked the primary agencies that have or may have,
5 depending on where a project's located, permitting
6 jurisdiction over some aspect of a project, to come and
7 speak, and give an overview both of their rules and
8 responsibilities and to engage in a facilitated
9 discussion.

10 And I want to just quickly introduce our
11 moderator, Ella Foley Gannon, with Morgan Lewis Law
12 Firm. I've known Ella for a number of years and she's
13 done projects here, at the Energy Commission, as an
14 attorney representing applicants. She's also been
15 involved in just a broad set of energy -- a broad set of
16 work in the energy area.

17 I noticed here give a presentation on this topic
18 that was pretty thorough, and I think that it will be
19 really helpful.

20 So, I'm just going to turn this over to you,
21 Ella, and thank you for agreeing to moderate.

22 MS. FOLEY GANNON: All of us who do projects in
23 California always like to be able to say, like the
24 grandfather who walked to school in with no shoes, where
25 it's difficult some place, it's more difficult in

1 California.

2 And so we thought it would be, as Commissioner
3 Douglas said, to bring together a group of the agencies
4 who are going to have the largest role in permitting
5 this type of project. And to start to tease out some of
6 the overlap and the possibilities.

7 So, we're going to start with each of the
8 agencies giving a brief presentation on their agency's
9 jurisdiction, as well as kind of some thoughts on the
10 permitting.

11 And as I said, they're each going to have five
12 minutes, so they're going to get into the highest level
13 of nuances of everything that they would consider as
14 part of this process. We said that -- we asked them
15 just to make a Haiku of their permitting process for
16 you, which we thought would be helpful.

17 And we're going to start with Joan, from BOEM,
18 if you can introduce yourself and give your
19 presentation.

20 MS. BARMINSKI: Yeah, thank you, Ella. And
21 thank you, Commissioners for inviting us to be here
22 today.

23 The Bureau of Ocean Energy Management is a
24 relatively small bureau in the Department of the
25 Interior. We have an office in California, which I am

1 the Regional Director of. It's down in Ventura County,
2 in Camarillo. And our objective there is to oversee all
3 energy and mineral development in the outer continental
4 shelf. Typically, that's from 3 to 200 miles offshore.
5 So, that is our realm of activity.

6 And the recent addition to our portfolio, since
7 everyone's talking about portfolios, is renewable
8 energy. That was added to the traditional resource that
9 we help manage, oil and gas offshore, as well as marine
10 minerals, which we don't have any offshore of
11 California, yet, but we're considering that as well.

12 There is wind energy, and as Bill has mentioned,
13 wave energy, that are possibilities for California. So,
14 that's what we're focusing on.

15 The next slide, please. This is the Haiku of
16 permitting the leasing process. We would actually look
17 towards leasing lands offshore for our renewable energy
18 project, whichever type it might be. And we are, just
19 so you know where we are in this process of planning and
20 analysis into leasing, into actual site assessment of an
21 offshore area, and into construction and operations,
22 which would be the actual building of something. We are
23 at the first stage.

24 So, you are here at planning and analysis, and
25 that's why this forum is totally appropriate and really

1 helpful for us to be able to let people know where we
2 are.

3 The first item in that box is bulleted as
4 Intergovernmental Task Force. And for California, the
5 Governor has requested a task force. That letter has
6 gone to the Secretary of the Interior and the Department
7 of the Interior is formulating a response. And that is,
8 you know, in our hands at this point. We're very happy
9 to have the letter.

10 So, otherwise, something that's not listed on
11 this slide, which probably should be there in kind of
12 like big, bold, red letters or whatever in the middle
13 void, is stakeholder engagement. In terms of the
14 opportunities, they are numerous, through the
15 Intergovernmental Task Force, or any coordinating body
16 that would be established through all of the processes
17 that are involved with National Environmental Policy Act
18 reviews that are done along the way, as well as other
19 workshops.

20 And we do have another one planned, too, for
21 California, or ocean renewable energy coming in the
22 fall. And we're doing that in conjunction with the
23 Energy Commission and we hope the state university, as
24 well. But there are a lot of opportunities for people
25 to be involved, and we have a lot of outreach and other

1 coordination that we do.

2 The last slide is on the activities that have
3 occurred, and are occurring and unfolding in the Pacific
4 Region for us. In our BOEM office, it's California,
5 Hawaii, Oregon and Washington are our stakeholder
6 states. And we are coordinating with, obviously with
7 California on the task force formation, as well as the
8 advent of the lease request offshore Morro Bay, which is
9 for a wind project there. And I know everyone will be
10 hearing more about that as the day unfolds.

11 In Hawaii, we do have a task force since 2011.
12 And there, we also have three lease requests that have
13 been received. They're all around the Island of Oahu.
14 We are conducting, right now, a series of public
15 outreach meetings to neighborhood boards, and other
16 community groups in Hawaii, as well as working with the
17 task force there. We just had a meeting last week with
18 the task force.

19 That's all in direct preparation for a call for
20 information and nominations. Again, that's one of the
21 steps in that planning and analysis board or box on the
22 previous slide. it's a Federal Register notice, which
23 is a way of putting things out there to the public,
24 noticing them that there is interest in an offshore wind
25 area in Hawaii, and asking for information about that

1 area, other interest in that area, as well as any
2 information that people would like to provide on
3 concerns or other uses. So, that notice would be coming
4 out sometime this summer. We don't have an exact date,
5 yet.

6 In Oregon, we've had a task force, the first one
7 we had in the Pacific. We are addressing there, the
8 Wind Flow Pacific Project, a floating offshore wind
9 demonstration project being coordinated through the
10 Department of Energy, funded through the Department of
11 Energy. And another one, the acronym is up there, the
12 Pacific Marine Energy Test Center. This is through
13 Oregon State University. It's a similar to set up to
14 the one that Bill was describing for in the California
15 area. They've had a test center in state waters and
16 they are looking to move or add a federal waters
17 component to that. So, that's in the permitting
18 process, as well.

19 In Washington State, there hasn't been much
20 interest in offshore renewable energy on the OCS, but
21 there is interest in nearshore, tidal, and as well as
22 some other interest in state waters. So, we are
23 intending there to be involved through some of the
24 regional planning activities that are going on with the
25 State of Washington.

1 So, that is the end of my introduction.

2 MS. FOLEY GANNON: Great. Thank you very much,
3 Joan.

4 Next, we'll turn to Jennifer, with State Lands.

5 MS. LUCCHESI: Great. Good morning, my name is
6 Jennifer Lucchesi. I'm the Executive Officer of the
7 State Lands Commission.

8 The next slide, please. The State Lands
9 Commission is an independent commission made up of the
10 Lieutenant Governor, the State Controller, and the
11 Director of Finance. We have jurisdiction over filled
12 and unfilled tide and submerged lands, as well as
13 navigable waterways of the State. We are the State
14 equivalent of BOEM.

15 In fact, we've worked for many, many decades
16 closely with BOEM, and their predecessor, MMS, on oil
17 and gas development activities offshore California.

18 So, we have jurisdiction north to the Eel River,
19 Lake Tahoe, the Sacramento, American and San Joaquin
20 Rivers, the Delta, San Francisco Bay. All the way down
21 to Colorado River. And most importantly to this
22 discussion, we have jurisdiction beginning at the mean
23 high tide line along the coast all the way out to the
24 State/Federal offshore boundary, approximately three
25 miles.

1 The next slide, please. We also manage a
2 significant amount of land, over 400,000 acres, in the
3 Southern California Desert. We manage those lands, the
4 surface leasing, as well as energy and mineral resource
5 leasing, oil and gas, geothermal and hard rock minerals.
6 In fact, we work very closely with Commissioner Douglas,
7 and the Energy Commission, and many other state and
8 federal agencies on the DRECP, and other energy policy
9 working groups.

10 We also have a very robust oil spill prevention
11 for our offshore oil and gas facilities, as well as at
12 marine oil terminals throughout the State. And we also
13 implement the State's Marine Invasive Species Program.

14 The next slide, please. The Commission is
15 primarily a land and resource trust manager. It's
16 different from a regulatory agency, like the Coastal
17 Commission or the Department of Fish and Wildlife. We
18 manage these lands and resources entrusted to our care.
19 We issue all kinds of different leases for their use,
20 and occupation, and development.

21 Our leases involve, types of leases include oil
22 and gas leases, including offshore oil platforms, to
23 marine oil terminals, to marinas, commercial harbors,
24 wharfs, restaurants, hotels, all the way down to your
25 individual recreational piers that you might see in Lake

1 Tahoe. So, we have a very vast portfolio of leasing
2 activities.

3 We are also primarily a revenue-generating
4 agency for the State that generates, depending on the
5 price of oil, anywhere between \$150 million to \$400
6 million of non-tax revenue to the State's General Fund.

7 The next slide, please. As a landowner, we are
8 uniquely positioned to partner, to help facilitate the
9 responsible development of marine renewable energy
10 offshore. In 2013, we actually produced a report to our
11 Commission on marine renewable energy and the
12 environmental impacts. This really identified the
13 environmental concerns with these types of energy
14 facilities, and put it in the context of CEQA and
15 permitting. And that can be accessed on our website,
16 the address is at the bottom there.

17 And the next slide, the next and final slide.
18 And, importantly, our most recently adopted strategic
19 plan recognizes that our revenue portfolio for our
20 leasing activities has been highly dependent on oil and
21 gas activities, particularly offshore. But that we
22 recognize that there is a road, a bridge to a
23 sustainable future and we're looking to change that
24 balance in our portfolio by increasing and facilitating
25 renewables in our leasing portfolio, both onshore and

1 offshore.

2 And that concludes my presentation, thank you.

3 MS. FOLEY GANNON: Great. Thank you very much.

4 Next, we'll hear from Kate, from the Coastal
5 Commission.

6 MS. HUCKLEBRIDGE: Good morning. My name,
7 again, is Kate Hucklebridge, and I work with the Energy
8 Ocean Resources and Federal Consistency Division of the
9 California Coastal Commission.

10 The next slide, please. I just want to go a
11 little bit over, give you background a little bit of the
12 Coastal Commission, our authority and jurisdiction as it
13 relates to these offshore renewable energy projects.

14 As many of you probably know, the Coastal
15 Commission was created through a voter initiative that
16 was passed in 1972. Subsequent to that initiative, the
17 Legislature approved the California Coastal Act, in
18 1976. And this Act established the Commission's
19 regulatory jurisdiction over all development within the
20 coastal zone.

21 Now, the Coastal Act includes many components,
22 but kind of the core of our regulatory mission can be
23 found in the Chapter 3, Policies of the Act. And these
24 policies cover a number of topics, from public access,
25 recreation, industrial development, marine resources.

1 Now, in thinking about these offshore renewable
2 projects, there's a couple of key Coastal Act policies
3 that will inevitably come into play as the Coastal
4 Commission reviews these projects. So, I wanted to go
5 over those, briefly.

6 First of all, there are several policies that
7 protect marine resources, including biological
8 productivity, water quality in the coastal waters.
9 There are policies that protect public access and access
10 to recreation activities. Policies that protect
11 commercial and recreational fishing interests. Policies
12 that relate to navigation, avoidance of hazards.
13 Policies that protect coastal public views. Policies
14 that relate to coastal-dependent industrial facilities.

15 And I just want to spend a quick moment to delve
16 into that a little bit. If a project is determined,
17 under the Coastal Act, to be a coastal-dependent
18 industrial facility, and that project has unavoidable
19 conflicts with other policies in the Coastal Act, then
20 this particular policy allows -- it provides a pathway
21 to our Commission to approve the project, despite those
22 conflicts, if a series of tests are met. And those
23 tests have to do with alternatives, and adequate
24 mitigation, and also looking at the project's impact on
25 the public welfare.

1 And then, finally, a topic that I'm sure most
2 regulatory agencies will be interested in, are there
3 alternatives and mitigation measures that would minimize
4 impacts associated with the proposed project?

5 The next slide, please. So, now that I've given
6 you a sense of the Coastal Act, I want to talk a little
7 bit about our authority over offshore projects. And we
8 sort of think of them, and these projects can span,
9 maybe, three different jurisdictional areas. So, we
10 have federal waters, state waters, and onshore areas.
11 And we have, the Commission has different types of
12 authority in those three areas.

13 So, in state waters, as Jennifer described,
14 those up to three, about three miles, that is all part
15 of the coastal zone and the Commission has direct permit
16 jurisdiction in those areas and would be issuing a
17 coastal development permit for any project components in
18 state waters.

19 In federal waters, the Commission generally has
20 what's called federal consistency review, and I'll talk
21 a little bit more about that in a moment.

22 If a project contains elements both in federal
23 waters and in state waters then, generally, those
24 reviews are combined and the Commission would issue a
25 joint CDP, coastal development permit, and a federal

1 consistency certification.

2 Now, for both of these cases the standard of
3 review would be the Chapter 3 Policies of the Coastal
4 Act.

5 Now onshore, the Commission's authority is a
6 little more location specific, or at least the nature of
7 that authority is location specific. So, if the onshore
8 components of a project are located in an area where the
9 Commission has direct jurisdiction, then the Commission
10 would be issuing a CPD, just like it would in state
11 waters.

12 If the onshore components are located in an area
13 where a local government has a certified local coastal
14 program, that was certified by the Commission, then the
15 local government would be responsible for issuing a CDP.
16 And that CDP may be appealable to the Commission,
17 itself.

18 Now, if the Commission is issuing a CDP, the
19 standard of review, again, is the Chapter 3 Policies of
20 the Coastal Act. But if the local government is issuing
21 the CDP, then the standard of review would be the LCP
22 policies that were certified by the Commission.

23 The next slide, please. So, I want to take just
24 a second to get a little bit into the nature of the
25 Commission's authority to review projects in federal

1 waters, under the California Coastal Zone Management
2 Act. And I only have a little bit of time. This is a
3 very complicated topic, so I'm going to give a real
4 broad brush. But we're happy to talk more about it
5 offline.

6 So, the CZMA provides the Commission the
7 opportunity to do what's called a federal consistency
8 review. And this basically allows the State to review
9 federal projects or projects that are federally
10 permitted, that our outside of the coastal zone. So, in
11 federal waters, on federal lands, or on tribal-owned
12 lands.

13 Now, the nature of this type of authority than
14 our direct permit jurisdiction. The CZMA sets it up as
15 a partnership between the federal government and the
16 state government. So, it's not the federal government
17 asking permission of the state. Instead, it's the
18 federal government and the state government working
19 together to find the project consistent with the
20 California Coastal Act.

21 And, really, there's an emphasis on coordination
22 and cooperation that's really a major focus of that
23 component of the CZMA.

24 So, another important part is it's really the
25 effect of the project and not the location that

1 determines whether the Commission have the authority to
2 review. We, at the Commission, like to call this the
3 fish swim test. So, just to illustrate, if a project in
4 federal waters is determined to have an impact on a
5 fish, or a population of fishes that would then,
6 conceivably, swim into state waters, that is deemed or
7 it could be deemed to have a spillover effect into the
8 coastal zone. And it's that spillover effect that
9 provides the Commission the authority to review the
10 project.

11 So, again, that's just the very broad brush. I
12 have the website here, especially for our federal
13 consistency. It provides a little more information and
14 I'm always happy to answer questions. Thank you.

15 MS. FOLEY GANNON: Thank you. And the fish swim
16 test is a technical test, right?

17 MS. HUCKLEBRIDGE: Very technical.

18 MS. FOLEY GANNON: All right, great.

19 Next, we will turn to Lisa, from NOAA.

20 MS. WOONINCK: Good morning, Commissioners
21 Douglas and Hochschild. Thank you for the invite. This
22 will be a tag team effort from NOAA. NOAA is within the
23 Department of Commerce, we're the National Oceanic and
24 Atmospheric Administration.

25 I will be giving you a short overview from the

1 perspective of the Office of National Marine
2 Sanctuaries, which is within the National Ocean Service.
3 And Bill Foster, here, will be talking about some of the
4 permitting and consistency requirements under the
5 National Marine Fishery Service.

6 So, just briefly, NOAA, again, I think what you
7 heard from the Coastal Commission, is there's the
8 permitting requirements, but there's also consistency
9 requirements that we seek under various acts.

10 So, next slide, please. So, I'm with the Office
11 of Marine Sanctuaries. I'm Lisa Wooninick, I work --
12 I'm a policy coordinator at the West Coast Regional
13 Office. We have five national marine sanctuaries on the
14 West Coast, four of which are in California. And
15 national marine sanctuaries are a type of marine
16 protected area. The State of California has a network
17 of marine protected areas within the coastal area.

18 We are in the coastal areas and within the
19 federal area beyond 3 nautical miles. And national
20 marine sanctuaries use place space management to protect
21 and conserve special places within the environment for
22 their aesthetic value, their biological or ecological
23 value, but also for historical or archeological values.

24 If you were to compare us to what you find on
25 land, we're not quite like a national park. We do allow

1 for multiple uses and, in fact, we promote sustainable
2 uses. So, we're not quite wildlife areas, but we are
3 interested in conservation.

4 So, here's my Haiku on the permit pathways. So,
5 we have different types of permits. We have general
6 permits for research, education or management. An
7 example is we issue permits to researchers. And maybe I
8 should back up, one of the -- or, two main regulations
9 that we frequently have with the national marine
10 sanctuaries, and they're all tailor made, they're not
11 all the same. We have 13 across the country. We're
12 designating one on the Great Lakes and one on the East
13 Coast, and they each have their own suite of
14 regulations.

15 But two types of regulations that you frequently
16 find in national marine sanctuaries are a prohibition on
17 disturbance of the seabed, with a host of exemptions.
18 One of which is commercial fishing and recreational
19 fishing is exempt because that's managed by the
20 California Department of Fish and Wildlife, or by the
21 National Marine Fishery Service. And we also have
22 regulations that prohibit discharges, also with a whole
23 host of exemptions.

24 So, we have these general permits for research,
25 education and management. We imagine for this type of a

1 project, like an offshore wind project, that there could
2 be a permit issued during the evaluation stage for
3 research purposes, specifically if that research would
4 also help inform something about the resources within
5 the sanctuary. So, the research can't be any type of
6 research. It does have to be research to help
7 understand the resources within the sanctuary.

8 Then, we also have authorizations of another --

9 COMMISSIONER HOCHSCHILD: Well, actually, if I
10 could just jump in there? So just for my edification,
11 for example, if like an underwater, buried transmission
12 cable from an offshore wind project to shore, going
13 through a national marine sanctuary, is there any
14 prohibition that would sort of permanently make that
15 impossible or is that something that you could foresee
16 happening if there was a site that it had to go through?

17 MS. WOONINCK: So, let me get to the next couple
18 of permit options. There's also authorization. So, we
19 could use authorization. And we, in fact, have used
20 authorizations in the past for cable laying. And if you
21 look at what we're experiencing right now, in the
22 Monterey Bay National Marine Sanctuary, where we have
23 several desalination plants that are being evaluated,
24 and we're going through the environmental assessment for
25 them, in that case we plan to authorize a coastal

1 development permit, from the Coastal Commission, for the
2 cable laying. And then, I think we're going to be using
3 a -- we're going to authorize a State Water Quality
4 Control Board permit for the brine discharge. So,
5 that's an NPDES permit. So, there are various options
6 that we can use, various authorizations of another
7 agency's permit. And we often work with the Coastal
8 Commission to come up with those solutions.

9 COMMISSIONER DOUGLAS: So, these Haikus have
10 been wonderful. And we've resisted the temptation to
11 jump in until now, but I just wanted to ask, quickly,
12 when you authorize another agency's permit do you do
13 your own NEPA review of that, or how do you go about
14 that?

15 MS. WOONINCK: So, in the case of the Coastal
16 Commission, since we're sitting right here next to each
17 other, because of the federal consistency we work
18 together. So, as we are evaluating these permits, we
19 streamline and we use the same environmental analysis.
20 They're very aware of our standards. We're very aware
21 of their standards. We're very aware of their statutes
22 and their requirements.

23 So, we try to make this as sensible as possible
24 and not duplicate, but also to try and find consistency,
25 and coordination, and cooperation, and that we

1 communicate with each other. And we try to also make it
2 that the permitting process is not onerous in terms of
3 time, but also costs, and the analysis that goes into
4 the environmental analysis.

5 Right? High five.

6 COMMISSIONER DOUGLAS: All right, thank you.

7 MS. WOONINCK: So, okay. So, then also at
8 sanctuaries we have special use permits for a limited
9 number of activities. I won't go into it.

10 And then we also have certifications. And this
11 is a process where it's a type of authorization in that
12 we authorize permits for uses that are already taking
13 place or activities that are already taking place when a
14 sanctuary gets designated.

15 So, an example of this is we just finished the
16 expansion of the Greater Farallon National Marine
17 Sanctuary, from sort of Bodega Bay area up to Point
18 Arena. And there are several cables there, one of which
19 is an 18-T cable. And we just finished certifying that
20 cable, and we certified that it's there, but we also
21 certified the maintenance of the cable. And what we
22 were certifying was, I think, a State Lands Commission
23 permit, a Coastal Commission permit, and another one
24 related to energy, but I'm not clear -- I'm not sure.
25 We just finished it.

1 And there, again, we try and find, you know,
2 consistency, and we look at -- we are basically
3 certifying another agency's permit. And as long as that
4 permit is active and valid, we don't need to do
5 anything. But if that permit were to not be renewed,
6 then we would have an issue. Just like I think the
7 permit-issuing agency would have a problem with the
8 applicants or with the activity, if it weren't renewed.

9 So, that's my Haiku. And I'm sure I can answer
10 more questions, when we get into the questions.

11 MR. FOSTER: Hi, my name's Bill Foster. I'm a
12 Fishery Biologist with the National Marine Fishery
13 Service, or otherwise known as NOAA Fisheries. And NOAA
14 Fisheries -- you want to go to the next slide. Thank
15 you. NOAA Fisheries is responsible for stewardship of
16 the nation's ocean resources and the habitat associated
17 with that.

18 And our basic role is to protect specifiers and
19 habitats, really all of them that exist, both within the
20 3 miles and into federal waters, as well. And we tend
21 to follow this by following the various of the either
22 processing or permitting processes that are out there
23 under Bureau of Ocean Energy Management, the Federal
24 Energy Regulatory Commission, U.S. Army Corps of
25 Engineers, Department of Energy. There's various other

1 agencies, like that, that we would interface on.

2 And we ultimately would be consulting under
3 various acts, with the actions that these federal
4 agencies would be doing, which is basically issuing of
5 their licenses and permits.

6 The Endangered Species Act, and it's associated
7 critical habit with species, the Marine Mammal
8 Protection Act, protecting all marine mammals. And some
9 of those are also protected under the ESA.

10 And also, we work through the Federal Power Act,
11 issuing, under various sections, either recommended
12 terms or assessing, you know, mandatory terms. We don't
13 have a mandatory conditioning authority. But under the
14 FERC, the Federal Power Act authorized FERC to permit
15 energy processes. And there's an understanding and an
16 agreement between BOEM and FERC, that FERC tends to run
17 the projects or oversee the projects, the licensing
18 within the 3-mile limit, and then BOEM tends to do the
19 federal waters offshore.

20 And then, we also have work under the
21 jurisdiction of the Magnuson-Stevens Fishery
22 Conservation and Management Act, which manages,
23 basically, commercial fisheries through fishery
24 management plans. And those commercial fisheries fish
25 within those commercial fisheries, also have essential

1 fish habitat that we assess project impacts on.

2 The next slide, please. And again, basically,
3 we're trying to protect or mitigate potential project
4 effects on these species. And under the Endangered
5 Species Act there's anadromous fish, your salmon,
6 sturgeon, steelhead, trout. The anadromous meaning that
7 they breed in fresh water and spend their lives in the
8 ocean water.

9 And there's also some marine fish. There's sea
10 turtles. There's interim tidal invertebrates, like
11 abalone, that -- and as well as under the Endangered
12 Species Act there's certain marine mammals that require
13 protection.

14 And in addition, the Marine Mammal Protection
15 Act also covers all of the rest of the marine mammals.
16 The U.S. Fish and Wildlife Service manages sea otters,
17 although we would coordinate with them on that.

18 And finally, like I said, the fish species
19 within various fishery management plans for ground fish,
20 pelagic fish. Salmon have their own fishery management
21 plan. And the highly migratory species, for instance,
22 are also included.

23 Can I go to the next slide, please. So,
24 basically, there's basically, basic effects that we're
25 concerned with regarding any of the offshore, either

1 offshore wind or marine hydrokinetic projects as have to
2 do with the species getting entangled or colliding with
3 devices, transmission lines or mooring lines. How their
4 behavior might be altered by the presence of these
5 devices or any noise generation during the construction
6 of them.

7 There's potential for species and habitats to be
8 disturbed or changed depending on, you know, what
9 happens in the construction and ongoing maintenance of
10 these projects.

11 And then some of these projects, either wave
12 or -- mostly wave and current ones, can result in
13 changes to water circulation, wave patterns. Not so
14 much wind patterns. And those may have an effect on
15 species, as well.

16 Then, the next slide, please. This is kind of a
17 diagram of some of the effects that we're concerned
18 with. That happens to be a wave energy converter
19 picture. But, you know, if you put a big propeller on
20 top of that, you'd have a wind one.

21 It's fairly self-explanatory. There's basic
22 electromagnetic fields that might be generated by
23 transmission cables. There's, you know, issues
24 sometimes with marine mammals being able to haul out
25 onto the surface of some of these structures, and other

1 things such as that. But basically, we try and account
2 for all of that through our consultation under those
3 various acts.

4 And then the last slide, please. Basically,
5 there are still some sources of uncertainty, many of
6 which can be reviewed by looking at information that's
7 been generated in Europe and other countries where
8 they're a bit farther along in terms of wind energy and
9 wave or tidal energy.

10 But as we go through these processes, we'll
11 develop more and more information. And again, a lot of
12 that has to do with the economy of scale. You can look
13 at one device or then does that multiply out over time
14 if you have an array of devices? The impact may be
15 vastly different in an array as opposed to a singular
16 object.

17 But primarily, that's what we try and assess,
18 basically projects' effects and, ultimately, consult
19 under the various acts and issue take permits,
20 basically, associated with -- to help mitigate the
21 project effects.

22 And that's pretty much what I have to say.

23 COMMISSIONER DOUGLAS: Well, thank you. I'll
24 just interject with a brief comment which is that it's
25 really helpful that you point out where there are some

1 areas that we might need more research or more
2 understanding. And I think that when we get to it on
3 the panel discussion, it would be helpful to hear more
4 perspectives on that.

5 MS. FOLEY GANNON: Thank you.

6 Next, we're going to hear from Noah Matson, who
7 is on the WebEx, U.S. Fish and Wildlife Service.

8 MR. MATSON: Good morning. Can you hear me?

9 MS. FOLEY GANNON: We can, thank you. Go ahead.
10 Go ahead and get started. Can you hear us, now? You
11 can go ahead and get started, if you'd like. It sounds
12 like we're having some trouble. We're not hearing you
13 anymore.

14 MR. MATSON: Hello, can you hear me now?

15 MS. FOLEY GANNON: Yes, thank you.

16 MR. MATSON: All right, I will start. So, thank
17 you for inviting me to participate. Sorry I could not
18 be there. I'm in Washington, D.C. I am an adviser here
19 at the Fish and Wildlife Service and I work a lot on
20 renewable energy policy development.

21 I thought I'd start off with an official Haiku.
22 Offshore wind power, avoid endangered species, migratory
23 birds. There you go.

24 (Laughter)

25 MR. MATSON: Thank you, thank you.

1 Since none of the other federal agencies
2 mentioned it, I do want to mention that the
3 Administration puts a large, a huge priority on doing
4 what it can, the federal family can to facilitate
5 offshore wind development. The White House, itself, is
6 leading interagency task force between the Bureau of
7 Energy Management, the Department of Energy, other
8 interior bureaus, and the list of agencies potentially
9 involved in permitting is at least 10 or a dozen, if you
10 can imagine that. And we only have a handful here.

11 But I just want to make sure people are aware
12 that Administration does place a higher priority on it.
13 We have regular interagency phone calls on checking in
14 on what's going on, and how do we facilitate this really
15 important technology.

16 So, for this part, I thought I'd start with the
17 next slide. We have a project tool online, called IPAC.
18 It's the Information for Planning and Conservation. And
19 if you're a project proponent for any type of
20 development across the landscape, you can go right to
21 that website and create a shape of your project area.

22 And the next slide. It will spit out some
23 potential resources that the Fish and Wildlife Service
24 has jurisdiction on that your project might impact. And
25 so, I just use that as an example of the types of

1 resources that we manage, that potentially overlap with
2 offshore wind development.

3 Now, I drew a very large shape off the coast of
4 California. Obviously, a single wind project won't
5 affect that many resources. And at least half of those
6 endangered species that were captured by my shape were
7 on the Channel Islands, where endemic species, including
8 endemic plants, would probably not be impacted by
9 offshore wind.

10 But just to give you an example, it lists out
11 the species, critical habitat, migratory birds, wildlife
12 refuges, if you're near those, et cetera. So, this is a
13 really useful tool.

14 Just like the National Marine Fishery Service,
15 we administer the Native Species Act. So, the species
16 that we cover, for offshore that's probably endangered
17 birds, certain marine mammals, like sea otters, and the
18 like. So, it's maybe about a dozen species that might
19 overlap with some of the offshore wind development in
20 California.

21 A lot of offshore wind development will be in
22 federal waters, which will be subject to Section 7 of
23 the ESA. And I think a lot of people are familiar with
24 how the Endangered Species Act works. You know, it's
25 pretty well established on how we try to avoid impacts

1 and minimize impacts to endangered species. Happy to
2 entertain any technical sections in the Q&A section.

3 The next slide. What I did want to focus on,
4 because I think this is where there's more uncertainty
5 on the application of Fish and Wildlife jurisdiction in
6 the coast is on migratory birds. This is a map of
7 important sea bird areas from the Pacific Sea Bird
8 Conservation Plan, which is getting a little dated.
9 It's about 10 years old, now. But those important areas
10 have not changed. They tend to be islands off the coast
11 that concentrate sea bird nesting and breeding areas.

12 And so, you know, any development near those
13 islands is going to be potentially putting the sea birds
14 at risk. And sea birds, and other species that fly up
15 the coast, are protected in the Migratory Bird Treaty
16 Act. The MBT is one of our oldest conservation laws.
17 It was -- in fact, this year is the 100th anniversary of
18 some of the treaties that were signed, that the law
19 implements.

20 And there are four different treaties between
21 England, on behalf of Canada, Japan, Mexico, and Russia.
22 And that basically prohibits the taking or killing of
23 native species of migratory birds. And covers both
24 intentional killing, as well as incidental take.

25 Currently, we do not have regulations

1 authorizing incidental take. Instead, we work
2 cooperatively with industry and have voluntary
3 guidelines for conserving birds for different industry
4 sectors.

5 Unfortunately, this results in some regulatory
6 uncertainty for project proponents. So, for example, we
7 basically use our enforcement discretion on implementing
8 the MBTA currently. I liken that to speed limits. So,
9 most officers won't pull you over if you're going over
10 five miles over the speed limit. But if you're going
11 tell above the speed limit, you're being reckless and
12 you might have an enforcement action.

13 And the same with MBTA. Most activities that
14 incidentally take birds are relatively low impact, not
15 going to raise our attention. But there are known
16 hazards to birds, particularly ones that we know how to
17 avoid, that we work with industry to minimize those
18 impacts.

19 Still, that does create some uncertainty. And
20 so, a few years ago we began a rulemaking process, which
21 I will describe.

22 But, you know, a key example of how this
23 regulatory uncertainty is playing out is in the courts,
24 over the Cape Wind Offshore Project, which is probably
25 one of the first commercial proposals for offshore wind

1 in the country. And one of the challenges to the Cape
2 Wind Project is under the Migratory Bird Treaty Act.
3 And during oral argument this past spring, the judges
4 engaged a lot of questioning on how Cape Wind and/or
5 Group Energy -- Ocean Energy Management could authorize
6 the acknowledged impacts on migratory birds.

7 You know, the government tried to argue that it
8 was our standard practice of trying to work with
9 companies to avoid those impacts. The court might not
10 have been very convinced. So, this summer the court is
11 expecting to rule. And it could rule that an actual
12 permit is required to authorize take. And given that we
13 don't currently have a permitting program in place, it
14 could have larger implications.

15 The next slide. So, before this stage of that
16 particular case, we have been engaged in a rulemaking
17 process to develop regulations for managing incidental
18 take of migratory birds. So, almost a year ago we put
19 out an NOI, which basically starting the scoping period,
20 some type of comment, had that open for several months.
21 And, you know, we'll be developing an environmental
22 impact statement and some different options for
23 regulating incidental take.

24 We hope to have a proposed rule and tracked EIS
25 out this calendar year, with a final rule next year.

1 The next slide. So, some of the possible
2 approaches we will be taking in that regulatory program,
3 which could include all of these, are continuing our
4 current program, with these alternatives, the voluntary
5 items.

6 Or, two, establishing a process for general
7 authorizations for industry hazards with known
8 mitigation measures. And these would be designed to be
9 basically self-permitting, self-reporting, self-
10 registration. So, we work with a number of industries
11 currently and we have for many years. So, power lines
12 take a lot of birds and we've been working cooperatively
13 with the power line industry for years, and have a set
14 of best practices that we can enshrine in a general
15 authorization. And so, industry can just sign up for
16 those and implement those BMPs, and be a very little
17 workload for the Fish and Wildlife Service, a pretty
18 seamless process for industry. That's the type of thing
19 that we would like to develop general authorizations
20 for.

21 Through this whole program we're not trying to
22 expand our authority or enforce under the MBTA. We're
23 not adding an army of agents to now go give people
24 tickets or throw them in jail for taking migratory
25 birds. So, we're really trying to make this a very

1 seamless process, again just to provide that regulatory
2 certainty.

3 Another potential process, path would be for
4 individual permits. I think those would be more labor
5 intensive on both industry and the Fish and Wildlife
6 Service's part. So, we're trying to limit the
7 application of those.

8 And then, finally, we might authorize incidental
9 take through programmatic agreements with other federal
10 agencies. So, for instance, we could work out a
11 memorandum of understanding with the Bureau of Ocean
12 Energy Management about how to authorize incidental take
13 through their resetting and other actions.

14 And we've, in fact, already had some preliminary
15 conversations with BOEM about how to do that.

16 The next slide. I guess that's the slide.
17 Yeah, the last speaker mentioned research. You know,
18 the good news is that we're at the very early stages of
19 offshore wind development so we have time. And that's
20 really helpful because we actually still don't know a
21 lot about offshore wind development.

22 The Fish and Wildlife Service, in collaboration
23 with BOEM and DOE, has conducted some research off the
24 coast of the Atlantic and also off the Pacific. But the
25 Atlantic research just produced a major report stack in

1 the fall. It's very helpful in trying to identify what
2 are the marine resources, biological resources that
3 could be at risk for a limited development to try to
4 avoid concentration areas, and things like that.

5 And through that research, we've discovered
6 things we didn't really know about. So, for instance,
7 that research helped find bat species flying 50 miles
8 off the coast, which I don't think we were really aware
9 of in the past. That was a really surprising finding.
10 So, there's a lot in the offshore elements, both above
11 the surface and below the surface that we still don't
12 know a lot about.

13 And so, you know, right now is the perfect time
14 to be making those investments in research so that we
15 plan this really critical development smart.

16 And from there I'll wrap it up, thank you.

17 MS. FOLEY GANNON: Thank you, Noah.

18 And finally, we'll turn to Becky, from
19 Department of Fish and Wildlife.

20 MS. OTA: Yes, the best for last. My name is
21 Becky Ota and I am with the California Department of
22 Fish and Wildlife. It used to be called Department of
23 Fish and Game, for some of you who are old enough to
24 remember that, which is not that long ago. And I am the
25 Program Manager for the Habitat Conservation Program

1 within the Department's Marine Region. So, that's where
2 I fit into all these cogs in the wheel.

3 The Department has been around since dirt,
4 almost. We were started in the mid-1800s, late-1800s,
5 so we've been around for quite a while. We are
6 stewards, basically, of the California's resources and
7 the habitats that they depend on. We manage and protect
8 the State's fish and wildlife, and native habitats,
9 while overseeing their use by the general public.

10 So, it's a managing and regulatory role which,
11 at times, gets very schizophrenic, but we manage that
12 just fine.

13 So, given that we are also, again, a trustee
14 agency and a responsible agency under various different
15 laws and acts, particularly the California Environmental
16 Quality Act, and as I go through this you'll see there's
17 a lot of overlap with a lot of the agencies that have
18 already been speaking. A lot of overlapping
19 jurisdiction. And we're kind of like the glue.
20 Although, some people might think of us as gluten, at
21 times.

22 (Laughter)

23 MS. OTA: And even though I have a Japanese
24 name, I don't have a Haiku. I'm terrible at it. So,
25 hopefully, my whole presentation will be a Haiku.

1 So, essentially, we're the trustee agency
2 managing all of those resources to the best of our
3 ability, with help from partners and stakeholders, for
4 sure.

5 Our authority, our jurisdiction is similar to
6 State Lands Commission. Well, it's pretty much the
7 whole State and everything that's in it, out to 3 miles.
8 So, we have enforcement capabilities, regulatory
9 mandates, all kinds of conservation and protection
10 responsibilities for those resources of the State.

11 Our authority really comes from the Legislature.
12 Our Fish and Game Code, I have it right here in case
13 anybody wants to look at it. We have a Fish and Game
14 Code, which is based on legislative law that has been
15 mandated to us. And then, in addition to that, the
16 Public Resources Code, the Environmental Quality Act,
17 the California Environmental Endangered Species Act.

18 And then, any authority that the Legislature has
19 delegated to us or to the Fish and Game Commission. So,
20 we share these responsibilities with the Fish and Game
21 Commission, as well, and work very, very closely with
22 them.

23 We also work extremely closely with all of the
24 agencies in the room and then some. Similar permitting
25 issues in terms of -- and I'll get to our permits in a

1 second. But we coordinate and collaborate with our
2 state and federal agencies on permitting, and what's
3 needed. And we provide our expertise and knowledge on
4 those resources and habitats of the State that we're
5 concerned about in terms of being impacted as a result
6 of any project. Whether it's offshore wind, onshore
7 wind, any other projects in or around the State.

8 As far as permitting goes, under the California
9 Endangered Species Act, incidental take permits for
10 those listed species would be something that the
11 Department would be definitely needing and wanting to
12 provide. Whether it's in state or federal waters, fish
13 got to swim, birds got to fly. So, as those go back and
14 forth, we're going to be concerned about those and be on
15 board with what's going on with monitoring those kinds
16 of activities and species.

17 Scientific collecting permits may or may not
18 apply. It depends on what the activity is for any of
19 these projects. The Cal Wave Project might be one of
20 those that a scientific collecting permit would actually
21 fit into because they're doing the research, trying to
22 figure it out. But that would be a discussion we would
23 end up having with those different projects.

24 As offshore comes onshore, lake and streambed
25 alteration permits would definitely enter in with my

1 colleagues in the other regions of the Department, in
2 that regard. And that's pretty much it in terms of
3 permitting. So, that's pretty Haiku, I think.

4 So, not many permits, but a lot of authority,
5 and jurisdiction, and coordination that we would need to
6 do with all of the permitting agencies, along with all
7 of the project proponents.

8 COMMISSIONER DOUGLAS: So, I'll just ask,
9 quickly, did you speak to incidental take permitting or
10 is that not --

11 MS. OTA: That's the incidental take permit,
12 yeah.

13 COMMISSIONER DOUGLAS: Okay, so you did.

14 MS. OTA: Yeah.

15 COMMISSIONER DOUGLAS: Okay, thank you. Great.

16 MS. FOLEY GANNON: All right. Well, first off,
17 thank you all for that amazing Haiku round. That was
18 really, really helpful.

19 So, what we're hoping to do now is just to have
20 a little bit more discussion and focusing on some of the
21 interactions between you, how you have overlapping
22 authority. Some of how you anticipate addressing some
23 of these unknowns that you've started to identify here,
24 as we go into this new world.

25 And obviously, Commissioners, if you have

1 questions that you want to jump in with, you know, we
2 want to make this as open a discussion as possible.

3 So, I guess, Joan, starting with you, assuming
4 that we have a project that's located in federal waters,
5 we would think that you're going to be the lead federal
6 agency. And you've talked a little bit about the
7 different boxes and how your permitting process goes
8 through. But how do you anticipate, sort of in the high
9 level, the interaction and the coordination with your
10 sister federal agencies, as well as the state agencies,
11 as well as the local agencies, and how does that play
12 out?

13 MS. BARMINSKI: Well, I think that one of the
14 main things is that that will be the most important
15 thing to get started right now. We have an interest in
16 talking with all of the state, federal and some other
17 local agencies, as well, as the project comes in and is
18 discussed.

19 We have a meeting set up for June 9th, and that
20 is going to be here in Sacramento. It's federal, state
21 and local agencies have been identified. We're trying
22 to reach the same level of people and spectrum of people
23 who would be involved in a task force. So, in
24 anticipation or in advance of having a task force, we're
25 going to start to have interagency coordination. And

1 that meeting will be here. It's open to the public.

2 MS. FOLEY GANNON: Oh, great.

3 MS. BARMINSKI: It is, though, an invited group
4 of people to try and get the ball rolling. This is
5 because we do have, you know, the interest from Trident
6 Winds for a commercial scale project. And we, as a
7 federal agency, have that responsibility to address and
8 to move forward with working on that project.

9 MS. FOLEY GANNON: But would the task force or
10 this meeting be focused on sort of a general task force
11 for California, for any project, or is it focused
12 specifically on the Trident Project?

13 MS. BARMINSKI: This is focused primarily on the
14 Trident Project, but we also would potentially look at a
15 draft of a charter of what a task force might look like,
16 so we would put that forward, also, at that meeting.

17 MS. FOLEY GANNON: Okay.

18 MS. BARMINSKI: I know the agenda is under
19 development, but we will have that available, too.

20 MS. FOLEY GANNON: Terrific, thank you.

21 MS. BARMINSKI: Yeah.

22 MS. FOLEY GANNON: So, Jennifer, from the State
23 perspective, who do you think would be most likely to be
24 the lead agency for a project that was in federal waters
25 and what difference would that make who takes that role,

1 do you think?

2 MS. LUCCHESI: Yeah, of course. So, just to
3 dive down a little bit more on our jurisdiction as it
4 relates to projects that are cited in federal waters and
5 those in state waters, as I mentioned, the State Lands
6 Commission has jurisdiction from the mean high tide line
7 out to 3 miles.

8 But beginning in the early 1900s, the
9 Legislature also began granting some of these tide and
10 submerged lands to local jurisdictions for their day-to-
11 day management. There is approximately 70 of those
12 grants.

13 And the State Lands Commission oversees the
14 management of those lands for consistency with State
15 objectives in these grants. But the day-to-day
16 management is within those local jurisdictions.

17 So, just to put that in an example, the Ports of
18 Los Angeles and Long Beach are on, occupy State
19 property, but those are within the grant that are
20 managed by those local municipalities and those Harbor
21 Commissions. But we oversee that management.

22 So, to take it back out, location matters and in
23 terms of our direct jurisdiction. For projects that are
24 located in federal waters, they will necessarily have to
25 have the transmission and other infrastructure that goes

1 through State waters. So, we would likely be the lead
2 agency for those lands that we directly manage. And we
3 have a history of doing joint documents with our federal
4 sister agencies, like BOEM, Bureau of Reclamation. And
5 we're actually doing one right now with the Monterey Bay
6 National Marine Fishery Service for a desalination
7 plant.

8 For those that are located directly in State
9 waters we would, of course, likely be lead where we have
10 direct jurisdiction.

11 And for those locations where it's within a
12 grant, the local municipality would likely be the lead
13 in a CEQA document. But we would be a responsible
14 agency and likely oversee that project and CEQA analysis
15 process.

16 MS. FOLEY GANNON: And do you think if it was a
17 local agency, who was the lead agency, would that make a
18 difference where there would be a joint document
19 produced or would you think that would influence how it
20 would be processed?

21 MS. LUCCHESI: I think that might be a question
22 for Joan or for others on the panel. But I'm not -- go
23 ahead.

24 MS. BARMINSKI: Well, you mentioned the joint
25 document and I think that that's one of the things that

1 we would try to do just for all of our agencies'
2 resources, you know, and people, and time to coordinate
3 those documents and the reviews that go into the
4 project.

5 So, I'd anticipate it be joint.

6 MS. LUCCHESI: Yeah.

7 COMMISSIONER DOUGLAS: I'm going to just jump in
8 with a question on joint documents. You know, in the
9 renewable energy world we've sometimes found it
10 challenging to do joint CEQA/NEPA documents. Have you
11 found the magic way to make that work well or what do
12 you do?

13 MS. BARMINSKI: Well, I should talk with you
14 more because we haven't actually done one, you know, for
15 the renewable energy side. So, you know, we will be
16 working on that.

17 COMMISSIONER HOCHSCHILD: I heard if you do it
18 in the form of a Haiku, really --

19 (Laughter)

20 COMMISSIONER DOUGLAS: I don't think that's been
21 tried, you know --

22 MS. BARMINSKI: That's the answer.

23 COMMISSIONER DOUGLAS: It may be the answer
24 because brevity is not usually one of the --

25 MS. FOLEY GANNON: I would love to weigh in on

1 that if --

2 COMMISSIONER DOUGLAS: Go ahead, please.

3 MS. FOLEY GANNON: Our experience has been, you
4 know, it really comes down to human factors. You build
5 the right team on both state and federal side, with
6 robust communication and those types of joint documents
7 can be the most efficient, and well written, and a
8 highly legally defensible document. But it's all about
9 building the right team, with the right staff members,
10 with exceptional communication abilities.

11 COMMISSIONER DOUGLAS: I think that makes sense.
12 And I think experience helps, too. You know, my
13 experience of the -- I mean, experience, having the
14 right team that has done this before or knows how to
15 mesh CEQA and NEPA documents.

16 Because in the solar permitting, you know, the
17 Energy Commission embarked on a large number of joint
18 documents with the Bureau of Land Management, and we
19 embarked on joint process. So, our informational
20 hearing was notices in NEPA scoping meeting, and on and
21 on.

22 But the reality was that the processes were
23 quite different. And between draft and final we split
24 them out into separate documents because it was just
25 decided that that was the most efficient way to ensure

1 that we could have sufficiency from the state and
2 federal point of view. Because even though the CEQA and
3 NEPA have similarities in -- very many similarities in
4 purpose and intent, there are actually some marked
5 differences in what these documents have to have or
6 shouldn't have that we found challenging.

7 And I'm curious, I'd love to learn more about
8 approaches that have been successfully implemented to
9 address those challenges.

10 MS. BARMINSKI: In the offshore environment, it
11 was a while back, but there were joint documents done
12 for some of the offshore oil and gas development. And
13 those were done in connection with the State Lands
14 Commission and Santa Barbara County, in particular, and
15 through a joint review panel.

16 So, there is history for an offshore environment
17 type of work to be done in that respect.

18 MS. FOLEY GANNON: I think, also, there's some
19 unique things about your NEPA process being a certified
20 regulatory program, which made that particularly
21 challenging, that you didn't see, I think, in the
22 offshore oil and gas. And that we didn't see in some of
23 the PV projects which were on BLM lands, or had
24 transmission lines or things that went through it.

25 And part of it was just, I think, also the

1 timing and the process of it was really difficult.

2 Did you have something to add there?

3 MS. OTA: Yes. There is another example of a
4 pretty successful NEPA/CEQA document within San
5 Francisco Bay. It was for the long-term management of
6 dredge materials in San Francisco Bay, between all the
7 state and federal agencies to manage that process. And
8 that was a -- it wasn't easy. But that's an example of
9 one that actually worked pretty well.

10 MS. FOLEY GANNON: And maybe, the Coastal
11 Commission also has a certified regulatory program maybe
12 you can weigh in on. Does that play into the ability to
13 do a joint document?

14 MS. HUCKLEBRIDGE: Not really in this case. We
15 would generally defer to the other agencies to determine
16 who would be lead. And as a responsible agency, we
17 would work with whoever the lead was chosen to be.

18 You know, we do have a certified regulatory
19 program. Our documents can be CEQA equivalent. But I
20 can't imagine a situation where there wouldn't be a lead
21 agency, such as State Lands, or a local government who
22 would be the appropriate lead agency.

23 MS. FOLEY GANNON: Great, thank you.

24 Thinking about being able to bring these working
25 groups together, there is the California Marine

1 Renewable Energy Working Group, which is already out
2 there. And I know Fish and Wildlife is part of that.
3 Can you speak to those efforts and maybe how that can
4 play in as part of approving these projects?

5 MS. OTA: Sure. I mean, the marine region does
6 have representation on that group. We have not had a
7 lot of offshore energy to actually tackle on that group,
8 yet. So, there's a lot of work that's been done that
9 the Department's been involved in, of course, on onshore
10 wind energy projects that everybody's aware of. But
11 nothing has come up, yet, in the ocean environment to
12 really dig into these issues at this point.

13 So, that workgroup will definitely be involved
14 as we move forward. But as a part of that workgroup,
15 you know, they'll march along as everybody else does on
16 that. So, that's how we would end up plugging in.

17 But right now, there's nothing really to react
18 to, yet, so we haven't had the opportunity.

19 MS. FOLEY GANNON: And is that working group
20 working with BOEM, with your efforts, are you
21 coordinating between that working group?

22 MS. BARMINSKI: Yes, we've been a member of that
23 working group, as well, and it's been mainly a
24 communications tool or forum, and been very effective
25 that way for projects that have come in.

1 But now, with a larger-scale project on the
2 horizon or on the table to be considered we, I think,
3 are incorporating all the people, agency-wise, that are
4 on that Marine Renewable Energy Working Group into the,
5 you know, interagency meeting that we're having next
6 month, as well as progress further on to the task force.

7 MS. FOLEY GANNON: Great. And on sort of a
8 related topic, at least we've seen in the past, and I
9 think you were referencing some of the ability to do
10 MOUs as part of a permitting or an authorization
11 process. How do you see that playing out here in the
12 offshore renewable energy development process?

13 MS. WOONINCK: So, MOUs can be incredibly useful
14 for defining roles and responsibilities. I think
15 they're also really useful when you're first starting
16 out a relationship or a partnership of coordination and
17 cooperation. Once you've sort of gone through the fire
18 sometimes they're not necessary.

19 But I think what they do is they also -- we do
20 see uncertainty involved with some projects and
21 uncertainty from the perspective of the agencies that
22 are working on a project, the stakeholders, the
23 developers, the investors. With having an MOU in place,
24 you can have certain steps outlined that say that you
25 will share information. The information, that you're

1 aware of each other's statutes and criteria. That can
2 also help streamlining, then, the permitting process,
3 having that awareness.

4 I think for the information sharing it's
5 incredibly important, as we were just talking CEQA and
6 NEPA. There's an enormous amount of analysis that needs
7 to go into this and data of the environment. If we can
8 all share the same concepts of how we are evaluating
9 that environment, using the same data, using the same
10 standards that is incredibly useful. And that also,
11 again, reduces the uncertainty with the public, with the
12 people who are working on this.

13 But again, you don't always need them if you
14 already have a very good working relationship. Like, we
15 have one with BOEM for energy projects in the offshore
16 environment. But I think in the absence of that, we are
17 already working with BOEM a lot. We're picking up the
18 phone, we're talking with each other, we're sharing
19 information, data. We're talking about communication.
20 Also, the communication is important. You don't need to
21 release public input or requests for public input
22 multiple times from different agencies. It can just be
23 all one public input.

24 Again, I think we can manage this better with
25 more communication, more coordination, more

1 collaboration. And all of that can be somewhat
2 memorialized within an MOU.

3 MS. FOLEY GANNON: Great. Turning to the
4 species-related agencies and from the permitting side,
5 maybe Bill, if you can answer first, and then Becky and
6 Noah, if you can weigh in.

7 What do you think are the unique challenges
8 associated with like mitigating the impacts associated
9 with an offshore project?

10 You know, I think we all know when you're
11 looking at terrestrial species, or you're looking at on-
12 land projects you're looking and saying, you know, you
13 replace the habitat or you preserve the habitat. That's
14 not really an option when you're talking about an ocean
15 environment.

16 So, how do you see that playing out and what are
17 the unique challenges?

18 MR. FOSTER: Yeah, this is Bill Foster from NOAA
19 Fisheries. Primarily, as far as the species goes, my
20 experience has been that there's usually a permitting or
21 a licensing process that goes on. BOEM is going to have
22 like a final rule that will -- or a rule that will, you
23 know, get put out there and then people comment on that.

24 The Federal Energy Regulatory Commission goes
25 through, it has its own process, including a subprocess

1 for ocean energy projects.

2 But in California, I am the point of contact for
3 NOAA Fisheries in California, for these types of
4 projects. But there hasn't -- except for what FERC
5 calls preliminary permits, which is a three-year process
6 to lock an area or a zone in place, and then you can
7 gather information. And you don't put anything in the
8 water, but you're gathering information or studies.

9 In California, these projects haven't totally
10 kicked off, yet. Or, if they did in the past, they only
11 went so far and then kind of died on the vines for
12 whatever reason.

13 And so, I envision when the projects get more
14 involved and they actually get started with
15 collaboration, I would be pulling in marine mammal
16 experts, and commercial fisheries, essential fish
17 habitat experts from wherever the local office is that's
18 closest to those areas. Working with ocean science --
19 you know, Ocean Services, for instance, and working with
20 BOEM, and as well as working with the other State
21 agencies.

22 Because what I have found, and my experience has
23 been much more in, say, for hydropower, you get a cadre
24 of people from various agencies that all have input into
25 protecting the species that they're concerned with. And

1 it tends to be the same people over and over, as you go
2 on from project to project. And over time you build up
3 a rapport, you know, who knows what, and who's the good
4 modeling person, who's the person with the spatial
5 habitat information, who's the person who knows a lot
6 about, say, marine mammals. That develops over time.

7 And the formation of a task force type of
8 concept is what would work the best.

9 Ultimately, we'll be consulting on the actions
10 of the federal or state agencies in their issuing of a
11 permit and how that might -- the natures of conditions
12 within those permits or licenses help mitigate and
13 protect. Not only the ESA listed species, but also all
14 of the species that might be there.

15 MS. FOLEY GANNON: Do you want to weigh in on
16 that, Becky?

17 MS. OTA: You bet. Talking mitigation in the
18 ocean environment is extremely challenging and it's
19 something that we grapple with. I mean the royal we,
20 everybody in the room, that we grapple with all the
21 time. There's not one type of mitigation. We're used
22 to on land, and in estuaries, and in coastal zone areas
23 with some pretty comfortable ways to mitigate for some
24 of the more common impacts to the environments.

25 When it comes to the open ocean, even shallow

1 coastal ocean, it gets very, very challenging to
2 determine what is adequate mitigation under the
3 Environmental Quality Act, under the National
4 Environmental Protection Act, under all of those myriad,
5 very long list of acts I have here. It's very
6 challenging.

7 So, going along the lines of what we just heard,
8 that is going to be one of those gaps that we're going
9 to have to work together with agencies, with the
10 experts, with researchers, with stakeholders, with our
11 recreational and commercial fishermen, users out there
12 in terms of seeking creative ways and creative thinking.
13 And then, being able to match that up with what is
14 required under all of those state and federal acts, and
15 laws, and regulations.

16 So, it is going to be a challenge. It's
17 something that we've all been talking about, you know,
18 at this table and people in the room, about where do we
19 go with this? And there's been some discussion on what
20 that might look like, but it's not congealed at all,
21 yet.

22 So, that is going to be a real challenge on
23 mitigation for not just these kinds of projects, but all
24 kinds of impacts to our ocean environment. So, it's
25 going to be a wild ride. So, fasten your seatbelt.

1 MS. FOLEY GANNON: Did you have something, Joan,
2 to add?

3 MS. BARMINSKI: I just wanted to say something
4 along the lines of what Becky's been talking about. I
5 think there's also one of the benefits we have is that
6 outside of the U.S. there is development that has
7 occurred in the ocean environment, in these wind
8 facilities. And that they have done work along these
9 lines of figuring out how to address the environmental
10 concerns.

11 So, do you see that as being -- I mean, it's
12 translatable. We've had a couple of workshops on the
13 Atlantic Coast, you know, in the U.S., to bring in what
14 has been termed the European experience, and trying to
15 get input there.

16 MS. OTA: This is California.

17 (Laughter)

18 MS. OTA: So, I think that's a unique challenge
19 in and of itself. I mean, we can certainly draw on
20 what's happening in other states around the country, or
21 European nations, or what have you. And boiling that
22 down to how it's going to apply to California is also
23 going to be the challenge.

24 Because we have very unique situations, very
25 unique different laws, very -- you know, I think we

1 should draw on what others have learned in these same
2 types of projects, regardless of where that comes from.
3 That is certainly going to help. Even from our land-
4 based wind energy projects and renewable energy
5 projects, we can learn from that in terms of the
6 processes that they went through, you went through, and
7 those kinds of things. And how that work, and how that
8 might apply to completely different environment out in
9 the ocean.

10 So, I think we can look at that and then, again,
11 see where it fits and what we can maybe pick form that.

12 MS. FOLEY GANNON: And, Noah, do you want to
13 weigh in on the mitigation question? As well as, you
14 were talking about the MBTA permitting challenges, and
15 the developing of the regulations, and that's obviously
16 something that everybody who's involved in wind, I think
17 is watching pretty anxiously, and wanting to see where
18 this goes out.

19 Related to that, I'm wondering, so I'm going to
20 give you a two-part question. The question, with the
21 MBTA, what type of standard do you see being applied to
22 like an incidental take permit?

23 Because under, obviously, the ESA, you have the
24 jeopardy standard that's controlling. But it would have
25 to be some sort of different standard in the MBTA

1 context because we're not talking about a listed
2 species. So, do you have thoughts on kind of where that
3 is going or what direction people are looking at that
4 issue at, now?

5 MR. MATSON: Sure. So, in terms of mitigation I
6 think, you know, there's a lot of parts of offshore wind
7 development that are analogous to existing development
8 in the ocean. So, offshore oil and gas developments,
9 running cables to the systems. So, I think we all have
10 experience on managing through those.

11 And the key to any developed project is to run
12 through the hierarchy of mitigation. So, avoid,
13 minimizing and compensate. So, I think that's where
14 some initial research off the Pacific Coast could be
15 really helpful, and what's started on the Atlantic
16 Coast, as well, identifying areas that are biologically
17 rich, which might have a lot of conflicts with this
18 development.

19 So, you know, that map I showed of some of the
20 sea bird concentration areas, probably a good idea to
21 stay away from those. How far away from those, I
22 couldn't tell you off the top of my head. Do we have
23 enough science to determine how far off the coast those
24 particular birds are flying? Again, I don't know off
25 the top of my head.

1 So, we'd like to get a little more research
2 there just to kind of avoid some obvious, sensitive
3 areas.

4 For these birds, and particularly other species,
5 there might be -- if compensatory mitigation would be
6 required through our various authorizations, there could
7 be some potential, depending on the species and some of
8 the threats that they might face. So, a lot of sea
9 birds face threats of invasive animal species on these
10 islands. So, rats in particular, goats, pigs. You
11 know, they eat their eggs or, you know, trample their
12 eggs.

13 And so, you know, I can envision some
14 compensatory mitigation to help reduce a different type
15 of threat, if compensatory mitigation was even required
16 through the permitting process.

17 In terms of the MBTA, it is a very different
18 statute than the ESA. It's very short and definitely
19 lists as you're not supposed to kill a bird. So, that's
20 the standard. So, we would be looking towards avoiding
21 take, minimizing take, and then compensating for take.

22 You know, we are exploring other, you know, di
23 minimis take thresholds where compensatory mitigation
24 might not be required. We're looking at that. It's
25 hard to define that, objectively, and would definitely

1 differ between species. We're hoping not to manage that
2 program through a lens of a thousand different species,
3 which is how many species of migratory birds there are.
4 So, we don't want to do that kind of deep analysis on
5 the impacts as it's too complicated. So, we're still
6 working through that.

7 And, of course, we will be seeking public
8 comments for additional ideas on how to work through
9 that.

10 MS. FOLEY GANNON: And I imagine you're going to
11 get some public comments on that, too.

12 (Laughter)

13 MR. MATSON: Yes, I think we will.

14 MS. OTA: Ellen?

15 MS. FOLEY GANNON: Yeah.

16 MS. OTA: Over here.

17 MS. FOLEY GANNON: Oh, sorry.

18 MS. OTA: Just to pile onto that, you know, the
19 Department does recognize and does more than recommend
20 that adherence to that Migratory Bird Treaty aspect
21 does. But we also have code sections of no take of
22 migratory birds.

23 So, it's going to -- you know, for mitigation
24 along those lines, as Noah was saying, that's going to
25 be a little tricky in that regard.

1 The other thing I want to throw in here, and I
2 think somebody mentioned it earlier, is fully protected
3 species in the State. We do have fully protected
4 species, as well, that there is no allowance of take for
5 those fully protected species. And if there is any
6 take, it's got very specific boundaries on what that
7 looks like and what's that for.

8 So, just since we're on the bird issue, that is
9 going to -- you know, that's a part of that mix.

10 MS. FOLEY GANNON: Right, good point.

11 Kate, turning to you, how is this -- you
12 obviously have more authority over some of the online
13 shore components than many, some of these other agencies
14 do. How is this different than your usual permitting,
15 other than, you know, with the consistency
16 determination, but also as your actual CDP process? How
17 do you envision it as being different or not?

18 MS. HUCKLEBRIDGE: I think that the main reason
19 or one of the main ways that this is going to be unique
20 is simply the scale that we're talking about.

21 As Noah mentioned, we have experienced the
22 permitting, and determining impacts and mitigation for
23 offshore oil and gas development. But there, the scale
24 was a lot smaller. And here, we have a potential to be
25 looking at development on a much larger scale. Much

1 more land area, ocean area. And I think that brings in
2 a whole host of challenges when we're looking at
3 determining impacts, mitigation, and coordination.

4 So, I think from our perspective that's going to
5 be a huge challenge. I mean, again, you know, the
6 farther offshore you get, the less we know about the
7 environment. So, it is unique in that sense, too, in
8 that there's, hopefully, going to be some new science
9 coming out of this.

10 And then, finally, it's new technology. So,
11 determining impacts associated with a technology that
12 hasn't really been tested in California, in our unique
13 environment, will pose additional challenges.

14 Now, we can rely on some of the studies coming
15 out of Europe and from the East Coast, and I think we'll
16 definitely do that. But it is -- I mean, it's going to
17 be a challenge to really get our arms wrapped around the
18 impacts and mitigation necessary on this large of a
19 scale. At least what's contemplated at this point.

20 MS. FOLEY GANNON: And in addition, I mean, we
21 have not done any offshore oil permitting in quite some
22 time, right?

23 MS. HUCKLEBRIDGE: That's right.

24 MS. FOLEY GANNON: Right, so things have also
25 evolved since the last time you actually had to do --

1 MS. HUCKLEBRIDGE: That is correct.

2 MS. FOLEY GANNON: -- one of the permits in this
3 process.

4 So, going off of what you just raised, and I
5 think this is something we've been kind of going back
6 and around, all of you have mentioned, the data gaps.
7 The stuff that we don't know, yet.

8 So, I mean, I'd like to hear kind of all of your
9 input on what do you think are the biggest data gaps?
10 And what do you think we need to do in the short term,
11 and in the mid and longer term to start addressing
12 those?

13 So, that's a huge question and, Joan, what do
14 you think?

15 MS. OTA: Yes, Joan, what do you think?

16 (Laughter)

17 MS. BARMINSKI: Well, one part of the answer is
18 that the Bureau of Ocean Energy Management does have an
19 Environmental Studies Program that it has had for a
20 long, long time. And we, over the past eight or so
21 years, especially since the Energy Policy Act was
22 enacted and we have renewable energy, and because it's a
23 relatively static environment in the oil and gas sector,
24 we have been realigning our studies to approach
25 renewable energy needs, trying to identify those.

1 We have, in the course of doing that we have a
2 way that we've gone out and asked constituents, whether
3 they're universities, or other state agencies, other
4 federal agencies for our ideas for our studies program.
5 We manage it on an annual basis but, you know, it takes
6 a little while. We're working on 2018, now. You know,
7 so we try to anticipate needs.

8 For a while, we were focused on Oregon and that
9 was very appropriate because we had a project that was
10 proposed there. And we've been doing studies there,
11 where we had not, in the past, had any information from
12 our own studies program. Just had -- there's no oil and
13 gas there, offshore.

14 So, we are trying, now, to look at California as
15 well. And we've anticipated that. We've been working
16 with State Lands, and then the Coastal Segment Working
17 Group, and the Coastal -- the Mapping Group that's been
18 set up, to look at where the priorities are for
19 gathering data.

20 We're also trying to put all of that information
21 into accessible databases. So that the Marine Cadastre,
22 for example, which is a national map tool, has
23 information, as well as the Ocean Data Portal, which is
24 being organized by the West Coast Ocean Partnership,
25 previously West Coast Governors Alliance.

1 So, those information sources are going to be
2 out there for everyone. This is public data and we want
3 to make it available.

4 So, I think that's what we're trying to do. But
5 we are organizing a conference in the November time
6 frame. We're nailing it down, now. We don't have it
7 quite yet. But it would be in Northern California, as
8 an area, the vicinity of Sacramento. So, that we could
9 get people to come to that and it would be focused on
10 two days. One on technology, so you'd hear more from
11 people like Walt Musial, and NREL, as well as some
12 project proponents. And a second day on environmental
13 information sharing.

14 So that will be, I think, very important for us
15 to try and get more information available to everyone.
16 And it would be possibly a point where you can try and
17 assess some of the additional needs.

18 MS. FOLEY GANNON: Great. Anyone else have
19 thoughts on the data gaps or what we need to do?

20 MS. OTA: Yes. I think, and it's my
21 perspective, maybe the Department's, I'm not sure, it's
22 hard to identify what the data gaps are going to be when
23 we don't know exactly, yet, which methodology -- and I
24 thought I heard that the floating is maybe not right off
25 the bat going to work. I guess, we'll see.

1 So, it is -- and Joan's right, there is a lot of
2 information out there that we can draw on, whether it's
3 mapping, whether it's work that was done for the marine
4 protected areas, whether it's -- lots and lots of data
5 out there about what exists, most of the way out to
6 three miles, and some of what's out beyond that.

7 So, some of the data gaps are going to -- you
8 know, related to the overall methodology that's going to
9 be used, how that's going to be deployed, how it's going
10 to be maintained, you know, what kind of -- and how
11 that -- that is going to help us identify what some of
12 those data gaps are. It is a very good start to go out
13 there and almost like a pre-construction baseline look
14 at what we know exists right there in terms of habitats,
15 resources, you know, those kinds of things. That's
16 going to be the first critical step.

17 And then from there we can go, okay, great, now
18 we know. We've got this picture. And then you start
19 putting the layers back on the onion, as it would be, to
20 then try to identify where those data gaps might be.
21 Particularly, as it refers to our California waters, our
22 California coast, the California current, the different
23 species. Taking information from other areas is great,
24 but species in other areas may or may not react the same
25 that they will here when these structures are put in.

1 So, you know, it's those kinds of things that
2 we'll have to look at.

3 COMMISSIONER DOUGLAS: So, and Ella, I'll just
4 quickly jump in and say that we will be hearing from
5 some developers later today, who are proposing a project
6 with floating technology today.

7 MS. OTA: Oh, good.

8 COMMISSIONER DOUGLAS: So, we will hear. You
9 know, I think that that's a technology that's certainly
10 before us as a State, so that raises the fairly distant
11 from shore, as opposed to within three miles. But, of
12 course, still with the onshore connection, the cable for
13 example.

14 MS. OTA: Right.

15 MS. FOLEY GANNON: Lisa?

16 MS. WOONINCK: So, I think we have -- here, in
17 California, we have a fair amount of knowledge about the
18 resources. But I think where the data gaps are going to
19 come from, and what I've been hearing people say is,
20 what will the effect be of a project on those resources?
21 That is where I think the data gaps exist.

22 And, yes, there are -- these technologies have
23 been in the water in other places around the world.
24 Knowledge of how we can use those studies, are they
25 applicable to the California coast, that, we're not so

1 sure about. We can use some standard ecological
2 principles, standard, you know, cause and effect. We
3 can look at some of that. But, you know, real direct
4 information, because it hasn't been in the water here,
5 in California, and we don't have.

6 But I think BOEM has already invested a
7 tremendous amount of resources, not just on the
8 environment, knowing the environment, California, too,
9 through the Marine Life Protection Act, out to 3
10 nautical miles. The sanctuaries, we have a lot of
11 information.

12 The National Marine Fishery Service has been
13 collecting data on essential fish habitat. So, we
14 basically know what does the benthic habitat look like?
15 And that would be the habitat that would be impacted by
16 this type of a technology, through the anchors.

17 We have a fair amount of that information. We
18 also have a fair amount of information on the human
19 side. BOEM has done, has put together a human uses
20 atlas. The National Marine Fishery Service has done the
21 same. The National MPA Center has done something like
22 that. So has California Fish and Wildlife.

23 So, we have a lot of data on the environment.
24 But the impact, the effect of this type of technology,
25 that is where I think the huge data gap is.

1 COMMISSIONER DOUGLAS: So, just as a quick
2 follow-up question on that, even though we haven't seen
3 this technology deployed in California, or offshore of
4 California, do we have a sense, in some sense of
5 inventory, of what we can learn about impacts from other
6 kinds of technologies that are deployed off of
7 California?

8 For example, I'm thinking back to the slides,
9 the slide just showing pictures of different ways of
10 designing a floating platform, and they all had some
11 level of anchoring to the sea floor. And there's a
12 question, well, does that cause vibration and noise?
13 Does that have, you know, some number of effects?

14 And I'm be curious what other kinds of
15 technologies have been deployed that can shed light on
16 those kinds of questions, even though this particular
17 application is not one we've got experience with.

18 MR. FOSTER: This is Bill Foster. I know the
19 Department of Energy's put funding up to not only assist
20 developers of actual energy-producing devices but also,
21 and I think more importantly in our case, we know where
22 the resources are. We have a pretty good understanding
23 of that. But the remote sensing and monitoring of the
24 existing habitat, to confirm our baseline estimates, as
25 well as devices themselves, and how they interact with

1 that environment is an ever-growing, I think, industry
2 in terms of submersibles and data collection systems.

3 Europe is a bit more advanced from us because
4 they've got a more immediate head start. Some of that
5 was because of their own federal funding that they put
6 into those programs.

7 But I think one of the things that will really
8 help us, technology-wise, will be an increased
9 development in remote sensing capabilities. Making them
10 smaller and easier to use, and get more bang out of your
11 buck as far as data collected.

12 There's always going to be development, I think,
13 on an ongoing basis for different types of devices to
14 generate energy. As much as one can imagine and then
15 build it.

16 But I think, equally, we're going to need the
17 remote sensing capability's going to have to step up.
18 And I think it has to some extent, in some of the
19 universities and stuff like that.

20 MS. FOLEY GANNON: Kate.

21 MS. HUCKLEBRIDGE: Yeah, I just wanted to add,
22 you know, I think that there are certain components of
23 these types of projects that we feel pretty good about
24 understanding impacts. I mean cables, we've all
25 permitted tons of cable projects. So, we understand how

1 to determine impacts and make proper mitigation for
2 laying of cables, for example. Anchors, somewhat
3 similar.

4 Again, we're out in deeper water than really
5 we've experienced before, at least from my
6 understanding. So, there will be some elements which
7 we're not quite -- you know, the habitat's going to be
8 slightly different that deeper out, that we'll have to
9 pay attention to.

10 But then I think it's the unique impacts that
11 could be associated with this technology that will be
12 harder. Things like what types of vibrations, or EMT,
13 or noise associated with these types of floating
14 turbines, for example. And we can rely on a lot of the
15 European data to at least give us a start.

16 But to determine the impacts on the offshore
17 California coast will be interesting.

18 And again, I want to piggy-back on what Bill was
19 saying. I do think a challenge is going to be
20 developing appropriate monitoring methods, and remote
21 sensing being one of them. It is really difficult to do
22 studies when you're that deep off water -- offshore, and
23 so it's really difficult. I consider it a significant
24 data gap in a way that we don't really have good methods
25 developed for good monitoring that far offshore and in

1 that deep of water. So, I think that's also something
2 that we'll need to step up, as well.

3 MS. FOLEY GANNON: And now, we're going to have
4 a guest speaker give an answer, as well.

5 MR. TOMAN: Hi, this Bill Toman, again, from the
6 previous panel. You know, having worked at developing
7 California marine renewables over the past seven, eight
8 years, I'd like to just point out the fact that the
9 experience that we have the offshore oil platforms is
10 substantial. These are, you know, thousand-foot tall,
11 you know, thousand-of-ton structures have been out for
12 35 years. They are connected, almost all of them are
13 connected by shore with power cables.

14 And that in the past couple of years there have
15 been a couple of power cable replacements. And so,
16 there is contemporaneous information about things
17 associated with marine renewable projects that have
18 already been done, and dealt with, and evaluated. And
19 we'd just urge you to keep that experience in mind.

20 MS. OTA: That's exactly what I was going to
21 say. I love it when people stay on my wavelength.

22 Because I think your question was what is out
23 there that we can actually draw on that might help us,
24 you know, look at some of the questions and get some of
25 these questions answered. And that's exactly right.

1 That is the closest thing that I can think of right now,
2 which is a long time ago but, you know, that is the
3 closest thing of what is out there right now. Other
4 than that, there's not a lot out there right now. I
5 mean there's a lot of junk out there, but there's not a
6 lot of projects that are going along these same lines.

7 So, I agree that looking at those platforms and
8 the structure around those platforms will help us
9 inform.

10 MR. FOSTER: This is Bill Foster, again. I
11 think the other issue to -- that we may not only be able
12 to understand until we have a project in the water, and
13 there's monitoring and adaptive management, is the
14 economy of scale. We have examples of similar items,
15 structures, cables, but many of these devices are going
16 to be in arrays, of huge numbers of arrays. And how
17 that individual spacing and their impacts on the local
18 environment from a much broader perspective, you can
19 imagine -- you can imagine and scale up from, say, one
20 or two devices, but it's still not the same until you
21 actually start monitoring it.

22 And I think that's where we can best borrow some
23 of the techniques that maybe they've done in Europe
24 because they actually have arrays in the ocean.
25 Whereas, we're still trying to figure out what that

1 means.

2 MS. OTA: Or what it looks like, yeah.

3 MS. FOLEY GANNON: And how have their monitoring
4 programs been in the European experience? And you were
5 speaking about that as being a challenge here. Is
6 anyone aware of kind of what data we've gotten from
7 monitoring, from those projects that are up and running?

8 MR. FOSTER: I don't have a lot of personal
9 knowledge of it, but I know I've been -- I always try
10 and check the Tethys website that was set up, I believe,
11 by DOE.

12 And to the extent that it's updated, you get
13 information, news reports, as well as industry reports,
14 sometimes, about who's doing what, and who's combining
15 with who, and kind of the who's who of the industry over
16 there. But they're including more and more articles
17 about, you know, what's happening here, too.

18 So, there is access to scientific reports and
19 data. Not every single report is completely,
20 immediately accessible, you know, but you can still --
21 once you've got the name and the author, you can usually
22 find it, if you need to find it.

23 MS. HUCKLEBRIDGE: I've definitely reviewed a
24 few scientific journal articles and there has been a
25 series of journal editions that have focused on offshore

1 energy and monitoring. And I've only -- I can't say
2 that I've really, fully delved into it. But from what
3 I've seen, I think some of it will be definitely
4 applicable.

5 But, I mean, the monitoring results have been
6 really mixed and they've shown effects in some cases,
7 and haven't shown effects in other cases. And I think
8 in my mind, as I was looking through some of these, some
9 of the places -- some of the design of this stuff is how
10 are they designed, and how do they use it to do --
11 they're incredibly expensive to do these types of
12 monitoring studies, so that's something to keep in mind.

13 But I do think some of the methodologies that
14 they've started to get out there could be useful to us
15 and it's definitely something that we should be looking
16 into.

17 In terms of impacts and effects it may be less
18 so, but we'll see.

19 MS. FOLEY GANNON: Okay, looking forward, Joan,
20 you were talking about the efforts that you're starting
21 to do to get ready to do the task force. So, based on
22 your experience with the task force in the other states,
23 in Oregon, in Hawaii, and other places on the East
24 Coast, what benefit do you see is going to be derived
25 from that? And kind of what's the main role that the

1 State agencies are going to play in that?

2 MS. BARMINSKI: Well, I think that it's a very
3 well-defined benefit. I mean, you can't do it without
4 it, without the coordination and the communication, and
5 having all the right people at the table.

6 So, I think it's going to be, you know, the
7 forum that it will provide for the data and information
8 exchange, and then discussing all these issues and
9 concerns is going to be really important. The state,
10 federal, tribal and local governments would be involved
11 at that table.

12 And, you know, the experience we've had, it
13 shows that people will come, you know, and they will be
14 engaged. They bring their information to the table in
15 those task force discussions. So, it's a very open way
16 of doing business and it something that we've found to
17 be very helpful.

18 MS. FOLEY GANNON: Great. Looking along those
19 same lines, with the large-scale solar and wind
20 projects on the land, you know, there have been those
21 programmatic EISs that have been conducted. There's
22 also been, as you were referencing, the DRECP. You
23 know, the habitat conservation planning and these
24 efforts that have been undertaken on a programmatic
25 level.

1 Do you see something like that happening in an
2 offshore wind context in California, or maybe on the
3 West Coast, or some subset of that?

4 MS. BARMINSKI: At this point, no. I think that
5 it looks like more a project-specific or an area-
6 specific look at things. So, I haven't anticipated a
7 programmatic document like that.

8 MS. FOLEY GANNON: And I think they've been seen
9 kind of as mixed blessings when they've happened. I
10 mean, there's advantages and disadvantages when they
11 have them.

12 Do you have something to add to that?

13 MS. LUCCHESI: I was just going to say I agree
14 with that. But in terms of just, you know, just
15 building off of what Joan said about the task force,
16 having that governance structure in place, that there's
17 a formal way of getting this all together, and
18 increasing collaboration and communication, that then
19 spins off into a more informal coordination role, and
20 just the contacts and the networks that you're able to
21 establish really helps facilitate progress on all these
22 fronts, among the state and federal agencies, and the
23 tribes and, of course, the local jurisdictions.

24 MS. FOLEY GANNON: Well, one of the -- at least
25 one of the goals, originally, of the solar PIS was to

1 say let's designate the areas that are appropriate for
2 it. And NOAA was earlier referencing, you know, you can
3 identify these areas where there's going to be more
4 Migratory Bird Treaty conflicts than there would be in
5 others. And I'm sure that there's, you know, other
6 areas that we could designate. And we have the
7 sanctuaries and these other resources.

8 So is there an effort, other than just
9 responding to a project application, to do something a
10 little bit more proactively of saying, looking at what
11 are going to be the areas that are most likely to have
12 the least amount of conflict?

13 MS. OTA: I'll jump on that one. That would be
14 fabulous if we did that kind of thing. An example of
15 that is the Marine Life Protection Act process for
16 establishing and designating the marine protected areas
17 in California.

18 That was a multi-agency, stakeholder-drive, you
19 know, public process whereby everybody came together to
20 determine where would be, oh, the best places, but where
21 can these areas be designated that's going to have, you
22 know, the benefit that is required by the Act, but yet a
23 minimal, hopefully, amount of impact on users, and so on
24 and so forth.

25 So, it was a science-based, which is one thing I

1 forgot to mention, we really need to be science-based in
2 this process. Everybody knows that, but I'm just going
3 to throw it out there.

4 So, a science-based, fact-based, considering all
5 the issues, and that process. Again, not easy. But we
6 got it done, collectively, and that's one of those
7 situations where it's that multi-agency, multi-
8 stakeholder discussion and process. And how that gets
9 set up and what that looks like is certainly going to be
10 dependent on, you know, funding, pretty much so. And
11 timing, and so on and so forth.

12 But that's one of those. And the Marine Life
13 Management -- I'm sorry, the Marine, MLMA, the Marine
14 Life Management Act process, in redoing the master plan
15 is going to take a similar process. A little lower
16 scale, but a similar kind of process to go.

17 There's a coordination, also, with the Pacific
18 States Marine -- or, Pacific Fisheries Management
19 Council, sorry, which was also a multi-agency, multi-
20 state process, also with constituents that come together
21 to help make decisions.

22 So, there are some templates out there that you
23 can look at to see and see where it goes from there.

24 MS. BARMINSKI: I think one of the things you'll
25 hear later, too, today, is that the potential for

1 development of energy offshore, in the renewable area,
2 is also very resource dependent on that particular --
3 the wind resource. And it's not that, as Walt Musial
4 from NREL showed the map, that shows the resource areas.
5 So, it's not that it can't be done some other places,
6 but it also is very particular to some locations where
7 you have the resources, as well as the grid connections.

8 I mean, you're looking forward, maybe, to future
9 offshore cabling. But right now, the infrastructure is
10 onshore for transmission. So, it is trying to fit all
11 of that together and looking at it. And the developers
12 are certainly looking at, you know, where the resource
13 is that they want to develop. It's driving it to some
14 extent, as well.

15 COMMISSIONER DOUGLAS: So, I'm going to step in
16 with a quick question and anyone can take this. But,
17 you know, in the context in which we're working, whether
18 we're analyzing individual projects or looking at
19 programmatic, looking at impacts on a larger scale, or
20 programmatic scale, one of the realities that we really
21 have to deal with is that the environment's changing
22 with climate change.

23 And, you know, certainly one of the biggest
24 challenges we had, as we thought about conservation of
25 desert species was what kind of desert are we planning

1 towards? And what are the -- what needs to be
2 implemented in order to provide the greatest amount of
3 resiliency and conservation over the long term, in light
4 of the changing environment.

5 And I know that, at least from people who I have
6 talked to, who have spent their careers in oceans, as I
7 have not, but I can draw some comparison to the desert
8 work that I have done. You know, the deserts are
9 changing more, on average, than many other parts of
10 California, for example. The models show the deserts
11 getting hotter sooner. It shows potential rainfall
12 changes, either wetter or drier, both of which could
13 significantly impact species.

14 And my understanding is that the ocean
15 environment is, if anything, changing more rapidly, both
16 due to acidification and temperature changes, and maybe
17 other stressors.

18 So, how do we -- you know, we are all speaking
19 about this issue as agencies, with slightly different
20 perspectives, and slightly different jurisdictions, and
21 slightly different missions, but we're all talking about
22 the same ocean. You know, we're talking about the same
23 resource. And ultimately, at least in the case of some
24 agencies, much of, but in the case of all of us, some of
25 our missions have to do with the conservation of the

1 values, in addition to maintaining multiple uses of
2 these resources.

3 So, in light of climate change, what do we do?
4 Given that this is such a critical issue, in fact is
5 what brings us all here today.

6 Any takers on that question?

7 MR. FOSTER: Oh, I'll take a brief crack at it.
8 I know, NOAA Fisheries is extremely concerned about
9 climate change and its effects. One of our foremost
10 worries is the effects that it would have on the
11 commercial salmon fishery. Which it has in the past, I
12 believe, too. Because climate change is going to make
13 more rain, less snow, more rain at the wrong time. And
14 it's just going to get hotter and drier for,
15 particularly, the anadromous fish. Of which the ocean
16 conditions are rather important for their lifecycle.

17 Because as climate changes, they're going to get
18 hammered in the freshwater environment, and then go out
19 to the ocean and find out that they have to compete with
20 tuna or, you know, something like that.

21 So, I mean I say that facetiously. But still,
22 the experience we had with warmer waters in the ocean,
23 farther north than they had, brings a whole array of
24 different species with it that is also a concern, both
25 from a resource, and commercial fishing, and sport

1 fishing impacts. As well as just the general, basic
2 food web changes.

3 Now, as far as what you can do about that, the
4 best thing you can do is probably to try and learn from
5 past information and history, and see what you can do,
6 and consider those other potential interactions that may
7 occur, say, if the ocean conditions change due to
8 climate change.

9 And then there's a whole suite of things you
10 need to do, probably, for the anadromous fish, but
11 that's outside this particular topic.

12 MS. FOLEY GANNON: Lisa?

13 MS. WOONINCK: Yes. So, at National Marine
14 Sanctuaries, we are -- everything that Bill just said.
15 We're extremely concerned about the ecosystem in
16 general, the impacts from ocean acidification.

17 And as a program, we have typically prohibited
18 offshore oil and gas development, and production. And
19 we've also been very leery of industrial projects
20 because of their impacts to the environment.

21 But I think with this -- it's not even an
22 emerging threat. It is a threat to the environment, to
23 the ecosystems within national marine sanctuaries. We,
24 as a program, are also adapting.

25 And, hence, we were able to write that letter to

1 Ms. Alla Weinstein that said that we do not think that
2 this type of a project would be incompatible with the
3 values of a national marine sanctuary. And we think
4 that there is the potential here, with very thoughtful
5 planning, design, review, using marine spatial planning
6 principles, where we can still conserve aspects of the
7 environment, the fragile, very sensitive habitats and
8 species in places within a national marine sanctuary,
9 but still have the potential to site this type of a
10 project, even within national marine sanctuaries.
11 Again, with thoughtful planning, review, and evaluation
12 of those resources and doing a robust tradeoff analysis.

13 But we need to do something to get us away from
14 fossil fuel burning, to restore the ecosystem, and some
15 of this damage that is going to be very hard for us to
16 address unless we get away from fossil fuel burning.

17 MS. OTA: I have a clarifying question for you.
18 So, your question, the way I interpreted your question
19 is what do we do about climate change in -- with respect
20 to what we're talking about right now in terms of
21 offshore wind energy, and in general, is what I -- how I
22 interpreted it.

23 However, what I was going to say is we're doing
24 -- we're going in the right direction, you know, with
25 renewable energy, and looking at that, and looking for

1 ways to increase that. And whether it's by legislation,
2 or volunteering to do it that way, or whatever, that is
3 a step in the right direction.

4 Because not only fossil fuels, but there are a
5 lot of different variables that are affecting ocean
6 health. Specifically, that are helping to exacerbate,
7 and increase, and speed up the impacts as a result of
8 climate change. Whether it's increase in temperature of
9 waters in the ocean, or we've got hypoxia issues, ocean
10 acidification issues, all kinds of things that
11 definitely tie back to fossil fuel burning. But also,
12 nutrient loads out of our watersheds and other places.

13 So, it is a very complicated quilt of variables
14 that we all should be thinking about along those lines.
15 And renewable energy is a step in the right direction in
16 terms of trying to help reduce that impact of climate
17 change.

18 Can we reverse climate change? I don't think
19 so. I think it's been going on for a very long time.
20 You know, have we helped it along? Pretty much, yeah.

21 So, I think in that regard this is a step in the
22 right direction.

23 And as Lisa said, you know, looking, keeping
24 that in mind as we go through and how to -- how these
25 projects may be able to be put in place, keeping that in

1 mind, is important. And doing that, because we're
2 all -- everybody in this room, all the agencies at the
3 table have been involved in climate change. We are
4 involved in climate change issues. The State of
5 California is very involved in climate change issues.

6 So, we're in the center of that. And so, how we
7 do that and keep our mandates, and our protections in
8 place for those resources of the State, no matter where
9 they are -- you've dealt with it in the inland portion,
10 we're now talking about on the ocean side. How we
11 balance that and the climate change issue is what we're
12 going to be faced with in the future.

13 COMMISSIONER DOUGLAS: I think that's a great
14 comment. And I'm just going to add, although I know
15 it's lunchtime and people are hungry, so maybe not for a
16 discussion realm. But I'm just going to add, another
17 challenge is on the adaptation side. Looking at the
18 real impacts we're experiencing today and asking the
19 question, how do we inform our current planning and
20 permitting decisions with this information?

21 Because we do have an understanding of what some
22 of those changes are and what it might mean for some of
23 the resources we care about. But connecting that to
24 planning or to other kinds of decisions is not always
25 easy. And I know that -- anyway. I know that all of us

1 grapple with that, you know, almost every day.

2 So with that, I want to thank this panel very
3 much. You've been -- well, and I'm going to thank our
4 Moderator, Ella, this was fantastic. The Haiku was
5 wonderful. You know, it can be hard to sit through a
6 bunch of agencies talking about, you know, their
7 jurisdiction, and we do this, and we do that, and here's
8 how it works. And you all made it informative, and
9 brief, and interesting, and it was really, really good.

10 And the discussion was very helpful. I know,
11 certainly on behalf of Commissioner Hochschild, and
12 myself, and the Energy Commission, we look forward to
13 working with all of you as these issues move forward.
14 And just thank you very much for being here today.

15 And so, with that, we will go to lunch. And we
16 will be back -- I'm going to pass this to Heather to
17 tell us what time to be back. But I think we're on
18 schedule.

19 MS. RAITT: Yeah, we'll be back at 1:45.

20 (Off the record at 12:50 p.m.)

21 (On the record at 1:48 p.m.)

22 MS. RAITT: Yeah, we can go ahead and get
23 started.

24 COMMISSIONER DOUGLAS: Excellent. So, I just
25 wanted to say, by way of introduction to the next panel,

1 we split out a couple agencies from the agency
2 discussion in the morning. Both just to avoid having
3 too many agencies talking at once, and also because, you
4 know, we're going to hear from Ocean Protection Council,
5 and Steve Chung, with the Department of the Navy, but
6 here as part of an effort where he's helped coordinate
7 our relationship, and planning work, and permit work
8 with Department of Defense and the other services.

9 And so, we'll hear from both of them. And then,
10 we're also going to hear from Thomas Gates, who's on our
11 staff, speaking to the issue of tribal engagement and
12 tribal participation. It was another area where, with
13 the renewable energy projects permitted under the
14 Recovery Act, you know, early on in that process there
15 was not a formal State process with consultation with
16 tribes. Although, there were relationships.

17 But by the end of that process, you know, at
18 this point we now have an Executive Order regarding
19 tribal consultation, and an Energy Commission
20 consultation policy.

21 And so, he'll share his thoughts, both about the
22 process for agency outreach with tribes and also some
23 thoughts, I think, for how, with regard to this issue it
24 can be both important and really helpful to do some of
25 that early outreach.

1 So, with that we'll get started by welcoming
2 Deborah Halberstadt here, with the California Natural
3 Resources Agency, Ocean Protection Council.

4 MS. HALBERSTADT: Good afternoon. Thank you
5 very much for having me today. I'm happy to be here
6 representing the Natural Resources Agency and the Ocean
7 Protection Council.

8 And I first wanted to give just a bit of
9 background as to the Ocean Protection Council. We're
10 kind of a unique State entity in that we do not have any
11 permitting authority, but we do have a very strong
12 policy role. So, we are tasked with protecting the
13 ocean and looking at a systemic, ecosystem-based view.

14 We are tasked with protecting, conserving,
15 restoring and managing California's coast and ocean.

16 And part of our role is to convene agencies
17 together to look at those issues affecting the ocean and
18 the coast, and have the opportunity to communicate and
19 collaborate effectively.

20 So, one of the things we've done is, in 2010, we
21 created the Marine Renewable Energy Working Group, which
22 I'll get to in just a moment. But that was an OPC-
23 convened working group that now is probably going to be
24 melded into the new BOEM federal/state task force.

25 We also work very closely with scientists. So,

1 there is the OPC Scientific Advisory Committee -- or
2 Science Advisory Team, which is comprised of 26
3 multidisciplinary, esteemed California scientists, who
4 are convened by OPC to serve the science and policy
5 needs of California in regard to ocean and coastal
6 issues.

7 The members of that Science Advisory Team
8 represent social sciences, natural sciences,
9 environmental law, and tribal and cultural practices.

10 And we currently, through that Science Advisory
11 Team, have a Mitigation Working Group, which I know is
12 one of the issues that came up earlier this morning.
13 That working group was catalyzed by the Refugio oil
14 spill. But it's been expanded to address the broader
15 focus on open coastal mitigation. So, I think that that
16 will play a really important role in conversations going
17 forward associated with marine renewable energy.

18 They're really thinking about the best science
19 available and how to work outside the box for coming up
20 with appropriate mitigation for open coastal ecosystems.

21 They also have the ability to help address data
22 gaps. So, for example, with ocean acidification,
23 through the Science Advisory Team, we now have this
24 report that's across multi-state and international
25 agreement on this report to identify where the data gaps

1 associated with ocean acidification, and what steps can
2 be taken by policymakers to address that. So, that's
3 just kind of an example of how the Science Advisory Team
4 can be used.

5 We also -- I think it was Mr. Foster had
6 mentioned how important it is to develop relationships,
7 personal relationships, and that you keep seeing the
8 same people come back over and over. And through our
9 work on ocean health, and particularly through the
10 marine protected area and climate work, we've developed
11 very strong, active relationships with the scientific
12 community that can help us integrate what we're learning
13 from them into our planning processes.

14 So, as far as tribes, OPC has an important role
15 in relation to tribes. I would say that we have worked
16 very effectively and closely with a variety of tribes,
17 throughout the State, on the OPA Partnership Plan, which
18 lays out a roadmap for how our partners, including all
19 the tribes, will work together to manage and steward the
20 MPA network. And so, we work directly with them and
21 have developed good relationships. And ensure that
22 their feedback is incorporated into documents. That's a
23 key part of it. It's not just that we're going out
24 talking, but that we're helping to incorporate their
25 concerns into our planning processes.

1 And one thing I think is important in looking at
2 the planning for marine renewable energy, is how
3 important it is to build sufficient time into the
4 process to take into account tribal concerns. Because
5 there are many tribes and each one has its own
6 governmental and tribal processes. And the tribal
7 representatives have to work with both the State
8 agencies and then with their own tribal governments, and
9 each one has its own perspective.

10 And that, you know, it's a separate sovereign
11 entity and deserves that kind of respect. And so, we
12 need to build time in for that sort of back and forth.

13 As far as the Marine Renewable Energy Working
14 Group, as I mentioned that was convened in 2010. The
15 groups or the agencies that were involved, and have been
16 involved, are OPC, the State Lands Commission, the
17 Coastal Commission, DFW, the Energy Commission and the
18 CPUC.

19 And the goals of that working group have been to
20 address uncertainties in the regulatory process, to
21 address the information needs of State agencies and
22 stakeholders, and potential impacts and conflicts that
23 could arise through the development of renewable energy.
24 And also, to facilitate development of agreements, like
25 memorandum of understanding, or whatever types of

1 agreements need to happen, interagency or federal and
2 state.

3 So, that kind of gives you an idea of what OPC
4 has been doing and how we can be helpful in this
5 process, even though we don't have any role in the
6 permitting. So, thank you.

7 COMMISSIONER DOUGLAS: Well, thanks for being
8 here. And obviously, you know, given the amount of
9 interagency coordination that is essential in this area
10 is one of the reasons we thought it would be really
11 helpful to hear from Ocean Protection Council.

12 Can you, just before we go on, just briefly
13 speak, also, to your involvement in some of the climate
14 or climate adaptation work of the State, or research
15 work of the State and just kind of how -- I guess I'd be
16 hopeful that Ocean Protection Council would be in a
17 place to help us connect some of these different, and
18 very related and relevant parts of State work?

19 MS. HALBERSTADT: Absolutely. So, the Ocean
20 Protection Council is very involved in climate change,
21 particularly as it protects ocean health, and the local
22 and coastal communities.

23 So, we have been working very closely with OPR
24 in addressing sea level rise issues. We have convened a
25 Coastal and Ocean Climate Action Team that meets quite

1 regularly.

2 We, again, convened the Ocean Acidification
3 Panel to look at the impacts of ocean acidification and
4 how those can be mitigated in the short term, at least,
5 and hopefully in the long term.

6 And, clearly, you know, marine renewable energy
7 is a way for us to decrease our reliance on fossil fuels
8 and decrease emissions, greenhouse gas emissions, which
9 will in turn have effects on the health of the ocean.
10 Because the ocean, I think, you know, up until recently
11 was kind of an ignored part of the climate picture, and
12 the climate change picture, but it is bearing a huge
13 burden. And it has been, up until recently, a massive
14 carbon sink. And it can't absorb that carbon anymore
15 and that's why it is becoming so acidic. And that is
16 having a huge impact on the food web from the very
17 bottom, you know, going up.

18 COMMISSIONER DOUGLAS: All right, thank you.

19 Can we go on to Steve, Steve Chung.

20 MR. CHUNG: Great. Commissioners, thank you
21 very much for inviting the military to today's session.
22 I think several of us are going to get satellite offices
23 in Sacramento.

24 (Laughter)

25 COMMISSIONER DOUGLAS: I think you've already

1 got one.

2 MR. CHUNG: Well, we do. This is our sub-
3 satellite office here, in the room.

4 My name is Steve Chung. I am the Department of
5 Navy, Southwest Regional Community Plans and Liaison
6 Office. I'm also joined by some of my colleagues from
7 the Navy captain community, Dwight Deakin, Sarah
8 Delisle, Scott Kiernan from the Air Force, and Ned
9 McKinley from the Marines. Yes, we do travel in packs.

10 (Laughter)

11 MR. CHUNG: So, if you could put up the map,
12 please? Now, they say a picture's worth a thousand
13 words. And normally, a typically DOD or military brief
14 would be infused with about a 50-page Power Point. That
15 will come after this.

16 (Laughter)

17 MR. CHUNG: I'm kidding. I'm not.

18 What I'd like to do here and, again, without
19 drilling down, there's three main things that we would
20 like to share with not only all the stakeholders, and my
21 colleagues from prior efforts for the State that are
22 here, but three main and core elements.

23 The first item is to provide a general overview
24 and a snapshot picture of the military equities that
25 have cost service, that occur off the California coast.

1 The second item, and Commissioner Douglas
2 referred to that, is in a quick, Reader's Digest
3 footnotes version, explain some of our lessons learned
4 and how we have evolved, together with our partners
5 outside the fence line.

6 And then third, close it with a suggestion,
7 borderline recommendation, since we have many of the
8 stakeholders here today that I think, what we've heard
9 so far, clearly there are vast, numerous, and diverse
10 equities and stakeholders that exist off the California
11 coast.

12 So, first, let me give you a quick snapshot,
13 overview of our military equities that do exist off the
14 California coast. They are shared across all services.
15 Predominantly, services that operate off the coast will
16 be the Navy, the Marine Corps, and the Air Force. Many
17 of the areas that you see in purple, those are what we
18 call our warning areas. Or, if you hear the term
19 "whiskey" and followed by a number, they're referencing
20 the warning areas where predominantly, but not
21 exclusively and not entirely, our operations occur
22 within the warning areas and from shore to the warning
23 areas.

24 Much of our experience and collaboration that
25 we've done with the State, with other federal agencies

1 over the past decade, and more, have been on land for
2 the most part. And many of you have, I think, learned
3 along with us, as we have learned, of some of our
4 operational parameters that exist onshore. I will share
5 with you those operational equities and more are
6 occurring offshore. Whether they be on the water, below
7 the water, or above the water. Every aspect, every
8 element of training and testing operations that exist
9 onshore occur offshore, from sea to land and land to
10 sea.

11 For some of our stakeholders that have heard
12 this one sound bite before, indulge me for a moment.
13 But it is an important point. And that is, even though
14 our installations, and our training and testing range
15 areas, when you look at a map, seem to be separated by
16 services, by land mass, I will absolutely highlight the
17 point that they are all interconnected towards one
18 common objective. And that is what my colleagues and
19 I -- basically, that's why we exist for the most part.
20 And that is to protect and ensure mission compatibility
21 and to ensure we protect our national security
22 interests. Plain and simple. It doesn't get more
23 complicated than that.

24 But does that mean that, as we've experienced
25 actions onshore that, when you see an area on a map that

1 means automatic no? Absolutely not. Absolutely not.

2 So, let me break into the second part of what
3 I'd like to share with the group, which is our lessons
4 learned over the past decade.

5 In the early 2000s, where California really
6 began experiencing a huge push towards renewable energy,
7 all facets of technology, whether it's solar, wind, we
8 had a few offshore. We began evolving. One, by
9 necessity. And two, because we were having our lunch
10 handed to us. There was too much activity and we were
11 playing, if you've heard the term, "whackamo", we didn't
12 have enough arms. We could have been squiggly diddly
13 with eight arms and it was just very difficult to
14 manage.

15 Luckily, in concert with the State agencies, the
16 Energy Commission, the Governor's Office of Planning and
17 Research, several other agencies, the thought process
18 began how can we be less reactive, avoiding the
19 "whackamo", and how can we install a culture and a
20 process to be more proactive? How can we educate not
21 only our own internal team members, within the military,
22 but also those external stakeholders that share the same
23 areas that they have interest in?

24 What you see on the map, and it was deliberately
25 placed there, is on the bottom right-hand corner, I know

1 it's hard to see, kind of in the -- like a salmon color,
2 the DRECP planning boundary. In Central California, in
3 the yellow, you'll see the San Joaquin Solar Initiative
4 that recently wrapped up.

5 I share those two geographic areas and those two
6 landscape planning efforts, while they had multiple
7 different objects, the end state and the core driver
8 that began those two initiatives were to do,
9 collectively, with all the interested stakeholders, a
10 landscape planning effort to identify areas of
11 opportunities and areas of constraints.

12 One, the DRECP, very elaborate, very intensive,
13 very long. About seven years. The San Joaquin process,
14 not as long, not as complex, but nonetheless had the
15 same fundamental principles that drove it. And that is,
16 bring the stakeholders together, get ahead of the curve,
17 conduct landscape level planning to identify areas of
18 opportunities and areas of constraint.

19 Why do I emphasize and hit on those points?
20 Part of our lessons learned over the last decade,
21 predominantly, resided on the fact that whether you are
22 a regulatory agency, whether you are a developer, and
23 quite frankly, whether you're a homeowner that has
24 interest someday to build something, the fundamental
25 element that all these different individuals,

1 organizations, entities share commonly is they would
2 like some sense of predictability.

3 And why is that critical? And likewise on the
4 military, we'd like some level of predictability in
5 working with our partners.

6 But when we're playing "whackamo" and the task
7 force concept is terrific, we embrace it, we support it.
8 However, taking some of the lessons learned and recently
9 with the completion of the San Joaquin Valley
10 Initiative, and the DRECP, if we had a stakeholder
11 group, like the task force, that will react and assemble
12 stakeholder groups together to tackle a proposal,
13 evaluate a proposal, that is wonderful.

14 However, from our military perspective and from
15 our shared lessons learned, we also strongly recommend
16 that the same stakeholders come together and to embark
17 on a journey, and maybe it's a process that's in between
18 the San Joaquin and the DRECP. But we've already
19 demonstrated, collectively, that it is doable. It is
20 manageable. And it just requires a commitment and the
21 willingness from the stakeholders.

22 The military will sign on board on this
23 initiative. It is proactive, it is the right thing to
24 do.

25 So with that I will pause and field any

1 questions anyone may have.

2 COMMISSIONER DOUGLAS: So, thank you, Steve, I
3 appreciate that. And as you said, there's been a long
4 road we've walked together on renewable energy projects.
5 And suddenly, we're looking at a new area. And we
6 hadn't been thinking about offshore, and we are.

7 And one theme I have heard from a lot of people,
8 in preparation for this workshop, is that there is --
9 while there are data gaps, there is actually a lot of
10 really good data and information that could be brought
11 to bear.

12 You know, I will say that between the two
13 processes, San Joaquin and DRECP, with my high level
14 knowledge of the offshore issues, and they are high
15 level, I think San Joaquin fits, at least initially,
16 what we're interested in better in the sense that it was
17 nonregulatory. It was a fairly quick time frame, start
18 to finish. It was participatory, stakeholder-driven,
19 but with a lot of agency, a lot of agency technical
20 support.

21 And I think it would be helpful, to me, to
22 better understand kind of the coordinating function, and
23 the time frame, and the information from the Department
24 of Defense perspective and the different services could
25 be brought into this.

1 Because I take your point, and I don't doubt it
2 at all, that offshore activities are as intensive and as
3 varied, and in some instances as sensitive as some of
4 the onshore activities.

5 And I guess I'll also take this chance to ask
6 you, you know, one of the things we learned in working
7 together on the desert projects is the importance of the
8 testing function. And how, you know, even aside from
9 training, you know, the sensitivity to certain kinds of
10 activities interfering with testing was a really big
11 deal.

12 You mentioned testing in the offshore context.
13 I'd love to understand that a little better, too. I
14 guess these are a couple questions thrown back at you.

15 MR. CHUNG: Well, let me go ahead and I think on
16 the first one, on timelines and what would the
17 expectations, could the expectations look like. If
18 today is any indication of information that is already
19 available, I've heard a number of my federal colleagues
20 and a few of the other agencies provide and share with
21 us information that they've either already collected, or
22 already prepared with either areas of opportunities or
23 challenge areas.

24 Likewise, there is much granularity that the
25 military has, that we have, with regards to our

1 operational areas offshore. I think the first phase, as
2 a suggestion, if we look at a path of similar to the San
3 Joaquin Valley, probably similar objectives which was
4 bring in, for all the stakeholders their areas. I think
5 that was one of the questions. Their areas of
6 constraints that they have. And then, upon compilation
7 of that, and one of the things that, I'm not sure how
8 many folks within the room here are aware, the State has
9 already established a terrific foundation on where this
10 data can be housed. It needs a little reorganization
11 structure. It's called the Data Basin. The part of the
12 infrastructure to enable this process is already in
13 place.

14 So, do I think -- and again, I know some of my
15 colleagues will say, Steve, no, that's too soon. But if
16 it's a simple overlay exercise, six months to a year
17 more than attainable.

18 Now, clearly, that's not the end all. That's
19 phase one. But we need to have a starting point to
20 start building that framework, to begin planning and
21 laying out something on a landscape form. Albeit at a
22 high level. But it's more than what we have today. So,
23 that's your first question.

24 I think the second question is on the testing
25 environment. And again, my colleagues are here if we

1 need to drill down further, because they're a lot
2 smarter than I am. But if you look at the blue area,
3 where it entails -- we call it the RAIMORA. I know, it
4 sounds like a disease, but that's why I spelled it out,
5 it's not. It's basically a Risk Adverse Impact on
6 Military Operations Readiness Areas, and it's a
7 mouthful.

8 But that area depicts two core components,
9 majority driven by some of the sensitive testing that we
10 do with the airborne radar. If you were to take this,
11 and I will package the way it has been conveyed to me
12 recently, that similar geographic area, that almost
13 identical mission that's taking place onshore, flip it
14 and bring it offshore.

15 Because as I've pointed out earlier, the
16 training and testing that occurs onshore is also
17 occurring offshore. And a driver and a majority of the
18 reason for much of what we do, both on the training and
19 testing front, is the interconnectivity between our
20 installations, our ranges, and the platforms that we
21 use. All the operations are interconnected. It is
22 having complex operations that go from the sea to the
23 shore and vice-versa.

24 Airborne radar occurs both onshore and
25 definitely occurs offshore. Sensor operations,

1 likewise. So, it's not as if, well, this is very
2 unique. We do have a unique mission. But when it comes
3 to our operations within California on land, and
4 offshore, they are very similar in type and form.

5 COMMISSIONER DOUGLAS: I've just got one other
6 question and then see if Commissioner Hochschild has any
7 questions. But could you describe, when we worked
8 together on the DRECP, you know, you helped us -- you
9 helped provide an appendix that basically described a
10 process for developers, who were considering developing
11 in areas that --

12 MR. CHUNG: Right.

13 COMMISSIONER DOUGLAS: -- maybe the military had
14 flagged as potential issues, but potentially okay, and
15 consult. And could you describe that process as it
16 applies to offshore wind projects, for people who are
17 considering or who want a better sense of what the
18 process might be in California, if they were to consider
19 projects?

20 MR. CHUNG: Absolutely, Commissioner. And
21 that's an, actually, excellent question because that was
22 part of the lessons learned. So, what we had onshore,
23 through SB 1462, which the Governor's Office of Planning
24 and Research established many years ago, it established
25 a notification requirement with regards to any projects

1 or proposal that was presented to any cities or counties
2 to provide the military notification that the project
3 was in. That was a fantastic foundation.

4 But again, the point that, our lessons learned,
5 that is reactive. When notification, when a developer,
6 and I'm sure the developers will nod their head, by the
7 time they make an application, they've already expended
8 a tremendous amount of money, a tremendous amount of
9 time.

10 And one of our lessons learned was how can we
11 enable and foster an environment and a culture that is
12 welcoming, with awareness and education, so a developer,
13 industry representative, city or county, or other
14 agencies can pick up the phone and say, you know what,
15 it's 1-800-DOD. I'm proposing, I'm thinking about a
16 project.

17 Well, it's hard to articulate that in a very
18 simple manner. However, during the DRECP process we
19 were able to meld the POCs, and there's only about
20 there's only about four or five that OPR maintains for
21 each service, that's a total, and meld that into a
22 business process that was incorporated as part of the
23 DRECP process that incurred and made two -- it made two
24 key components, to key commitments. And that was if a
25 DOD rep, that's identified under SB 1462, which I'm one

1 of them and my colleagues are the others, we are now
2 committed to provide a response. It can be an informal,
3 early consultation. Or, if you require something that's
4 on a DOD letterhead, we provide the coordination, the
5 communication with OSD. So, you can have that before.
6 Because some folks will need it for financing. Some
7 folks may need it for other purposes, we understand
8 that.

9 But that early consultation process that was
10 incorporated and built in, it's a double-edged sword.
11 I'll tell you that, from our perspective, because we
12 have limited bodies. But at the same time that opened
13 up the door to -- I cannot explain to you, I can -- we
14 track it. The number of calls and meetings that we are
15 asked to participate in exponentially increased. But
16 again, it's a double-edged sword. We'd much rather have
17 that and put the time in to provide the education so a
18 developer, or an industry rep, or a city or county, one,
19 doesn't expend a lot of time and money on areas that are
20 going to be very problematic to DOD.

21 But two, we also provide the communication, the
22 education and the assistance to work with that industry
23 rep or developer to site the project in a compatible
24 manner. We work to get to yes. And that is critical
25 because, quite frankly, our leadership is also aligned

1 with advocating and supporting both clean energy,
2 renewables, and we have the policies to support it.

3 So, what may have been perceived 10 years ago as
4 DOD's a very tightly locked vault, I would say the
5 door's open and we absolutely foster, and the DRECP
6 process that was incorporated absolutely enabled that.
7 That has gone out. We need to do more educations so
8 folks understand that those phone lines are -- I'm like
9 a telethon, the phone lines are open. You know, find
10 your PSA and contact them.

11 But we would very much like to establish a
12 similar forward thinking, landscape planning initiative
13 that's manageable, that's very specific in its initial
14 target, and that's executable within and under a year.

15 COMMISSIONER DOUGLAS: Excellent. Thank you.
16 Deborah?

17 MS. HALBERSTADT: Thank you. I just wanted to
18 tag onto what Mr. Chung has been saying. So, the OPC
19 has actually created, funded and supported initiatives
20 that are very much in line with what Mr. Chung has just
21 been talking about. Particularly, data like sea floor
22 mapping, and also the MPA monitoring data. Which, yes,
23 it's nearshore, but it is comprehensive across species
24 and habitat and will be important for infrastructure
25 like, you know, transmission lines, cables, et cetera,

1 that are going to have to run closer to shore.

2 So that, I think, plays very nicely into what
3 Mr. Chung was just talking about.

4 COMMISSIONER DOUGLAS: Yeah, I think it's a
5 really interesting point. There's been a lot of
6 investment in data, in this area. And it would be my
7 observation, anyway, and I've talked to a number of
8 people who have said, oh, yeah, we've got great data.
9 It's not everything, it's this, that and the other, but
10 it's really good. And it's really great to hear.

11 You know, as we talk about research needs,
12 that's just another point from some of the desert
13 experience. It lasted so long that we actually had time
14 to do some cycles of research money, both out of the
15 Energy Commission, but also out of other agencies, and
16 being able to target that research both towards the
17 impacts, or the issues, or the potential technology
18 changes that can make a difference, but also towards the
19 geographies that are most important to look at can help
20 make research, you know, part of that cycle as well.

21 So, great, thank you. I'm going to go to Tom
22 Gates, now, and let's talk a bit about tribal outreach
23 and consultation.

24 COMMISSIONER HOCHSCHILD: Before we do that,
25 just if I could just chime in really briefly. I just

1 really wanted to thank the Navy for really
2 distinguishing itself, from my perspective, on clean
3 energy initiatives. We've funded, now, 9 of the 30
4 military bases in California on various clean energy,
5 clean transportation, energy storage initiatives.

6 I've had the opportunity to visit most of those.
7 And I just really want to pay tribute to the Navy for
8 really distinguishing itself in this arena in the very
9 bold goal of 50-percent renewables by 2020, which is a
10 stretch goal. But I really just want to acknowledge
11 Admiral McGinn's work on this.

12 And just to restate the obvious, this endeavor
13 we're embarked on, you know, to advance renewable
14 energy, including offshore renewable resources, is in
15 our nation's national security interests. As we
16 increasingly power transportation from clean electricity
17 we're producing domestically and reduce our reliance on
18 imported oil, that is in the service of our country's
19 national security objectives. And I just think bearing
20 that in mind as we go forward.

21 I'm absolutely confident that there's a way
22 forward here that can work for all the parties. So, I
23 just wanted to close on that.

24 MR. GATES: Hello, my name is Thomas Gates. I'm
25 the Cultural Resources Supervisor in our Siting,

1 Transportation and Environmental Protection Division,
2 here at the Energy Commission. I work closely with
3 Roger Johnson, our Deputy Director, who is our
4 designated Tribal Liaison. And together, Roger, myself,
5 and Karen, have conducted some of our tribal affairs
6 with tribes.

7 I come from more than 25 years' background
8 working mostly for tribe, but also now, in my capacity
9 here, working with tribes. In my previous career I
10 spent a long time on the North Coast, where it was
11 interesting to see some of the maps this morning, where
12 it looks like some of the offshore wind potential is the
13 greatest. That's an area that I'm from.

14 We made an effort to get some tribes here to
15 speak from their perspectives. We were not able to do
16 that in some of the limited time. That's unfortunate.
17 And I think going forward we should double our efforts
18 to get more tribes to the table so they can speak
19 directly from their point of view and not through a
20 staff person. Although, I hope to be able to give us an
21 idea of some of their concerns.

22 But once I learned, a few days ago, that I would
23 be here, to get my head wrapped around this, I haven't
24 been involved with ocean issues for some time, I called
25 my good friend up north, a tribal elder, and for today

1 we'll call him Frank. And just to get my head wrapped
2 around some of the issues that I used to rely on Frank
3 to help me think through tribal values in relationship
4 to the ocean.

5 And, you know, Frank has always been -- he's in
6 his 80s, he's getting on in age. And he's one who
7 always reminds me that, you know, he was born next to
8 the ocean, behind a lagoon, right off of the ocean up
9 north. And always said he was born with the sound of
10 the ocean born in his house. And he comes from a long
11 lineage of traditional women, medicine makers that
12 gained their knowledge and power from the ocean.

13 And Frank is a guy, okay, and there's many
14 Franks along the coastline, so he is representative in
15 some ways. But he knows, specifically, maybe a mile of
16 that ocean and that coastline. He knows specific stands
17 of seaweed that his family has relied on for decades, if
18 not centuries. He can tell you exactly where that
19 little group of seaweed is and how it's doing today, how
20 it was 50 years ago.

21 He can look out on that ocean and he can tell
22 you, and he doesn't pay attention so much to the weather
23 forecast, but he can tell you pretty much what's going
24 to happen with the weather over the next three days just
25 by looking at his window. And he's much more accurate

1 than what we would find from some of the other weather
2 forecasts that we might rely on.

3 He can tell you how those ducks start to pull up
4 and he can tell you that he knows a storm's coming in a
5 couple of days. And he can tell you the magnitude of
6 that storm. He can tell you that a certain bunch of sea
7 lions that are laying on the beach before him, he can
8 tell you which ones he thinks he's seen over the years
9 and which ones seem to be newcomers.

10 He can tell you about how to carve a canoe and
11 he can tell you how to paddle that canoe out to take sea
12 lion. He can tell you if you get stranded out there,
13 and you hit the certain current out there, where you'll
14 land back along the seashore, some miles further down
15 from him.

16 And he can tell you that's why his family had
17 marriage relations with that other village down there,
18 so that if they did get in that situation, they had
19 family where they landed.

20 Frank knows his ocean. He knows it like the
21 back of our hands for about a mile. And it starts to
22 fade off from there. He can tell you some general,
23 anecdotal things.

24 But the thing is, and I think I go to Frank
25 because I want to say, as Deborah has potentially

1 mentioned, that there's a great challenge here because
2 as we talk about data, and we talked about this this
3 morning, and where the data gaps are, you've got people
4 along that coast who can tap into thousands of years of
5 history and knowledge, but it's very, very focused, and
6 extremely focused.

7 Now, our agencies have data across the entire
8 seascape, but there are lots of gaps and lots of
9 unknowns. And so I think perhaps our solution is to put
10 those two together, and that's the conundrum.

11 If we move away from Frank for a bit and we
12 think about the number of tribes in California, roughly
13 184 entities in California. Roughly 100 and some, 109,
14 112 that are federally recognized and the rest are
15 unrecognized. If we -- and I haven't looked at our
16 tribal database to prepare for today, but if we
17 genuinely want those into long sections up and down
18 California, about a third are on the coast, about a
19 third are in the middle part of the State, and about a
20 third are on the eastern side of the State.

21 So, you're dealing, if you want to really deal
22 with tribes along the coast, that first strip of
23 ancestral affiliation, you know, you're dealing with
24 about 60 tribes or so. And they're going to come, as
25 Deborah said, with all kinds of different

1 understandings, capabilities, knowledge bases, ways of
2 doing their government, ways of interacting with other
3 governments. And some of them are not going to be
4 prepared and some of them are going to be overly
5 prepared. And that is both a welcome, because of the
6 value and the breadth of knowledge they bring, but it's
7 also a challenge.

8 And I think, while we might want to focus on
9 those that have the direct affiliation with the ocean
10 and the coastline, I want to remind us all that I think
11 of some of my friends on the eastern side of California,
12 mostly the Paiute Tribes. If we look at some of their
13 creation stories, from all the way up in the north, Fort
14 Bidwell Reservation, all the way down to Las Vegas and
15 some of the reservations there, their creation stories
16 have a personal named Ocean Woman. And they have a
17 direct knowledge, through that creation story, to the
18 ocean.

19 And so, while we want to focus on those tribes
20 on the coast, we should not forget that just about every
21 tribe in California and around California has some
22 knowledge, some relationship to that vast resource.

23 It's no doubt you look at excavations in the
24 Mississippi Delta you find artifacts, you find
25 resources, abalone shell, stia (phonetic) type bowls

1 that were mined thousands of years ago on the Channel
2 Islands, and were traded all the way to the middle of
3 this continent.

4 And so there's even a broader knowledge. I
5 remember years ago I was at a conference and a lady, I
6 think from New Mexico, said, oh, you're from California.
7 I need to get some of that abalone shell to make my
8 regalia, who can I get hooked up with?

9 So, there's a knowledge across this country of
10 the value of this ocean and what it provides for
11 indigenous people.

12 I think I want to move on a bit. I wanted to
13 particularly flag, as we talk about getting a grip on
14 landscapes and a knowledge base that is landscape
15 oriented, something that's been in the federal
16 guidelines and statutes, and historic preservation for
17 some time, and has now been clearly introduced into
18 California State law, and that's the idea of a cultural
19 landscape.

20 I want to point out that some of the agencies
21 that were speaking earlier today were either funders or
22 partners in a broad effort to identify ocean landscapes
23 in relationship with tribes up and down the Pacific
24 Coast Way. And some of the tribes that were involved in
25 this actually, indeed, are in California.

1 And I think it's an excellent document. I think
2 you can get it at the BOEM website. But it's entitled,
3 "A Guidance Document for Characterizing Tribal Cultural
4 Landscapes".

5 And I think a couple things I want to mention
6 about that document, but I think if we were to try to
7 get into the business of predicting where cultural
8 resources and tribal values are offshore, nearshore,
9 onshore, thinking about it from a cultural landscape
10 perspective gives you the broadest context so that you
11 can then understand how all the other specific sites or
12 artifacts fit into that landscape. And that starts to
13 give you a sense of the significance of something,
14 compared to other, if you understand the larger context.
15 So, I want to really push that. And I want to also flag
16 this Seminole document that was just announced a couple
17 months ago. And I can provide the exact title, if
18 someone wants to, after I'm done speaking here.

19 I think offshore, far offshore, I think the
20 values that tribes bring tend to be a bit more concerned
21 with the natural environment and perhaps spiritual
22 things. My good friend, Frank, always points to a
23 trail, which any of us are beachcombers, or walk the
24 beach, or stare at sunsets on the beach, if you watch
25 that sun go down, it's one of the only parts of the day

1 we can actually look at the sun. And you'll see a trail
2 that opens up. It's a light and a reflection, but it
3 looks like a trail and it goes off directly to the west.
4 That's a spiritual path for a lot of tribal people, and
5 they point that out. And I don't want to really speak
6 much to what it all means, but that's something.

7 Now, what's the impact of what we're discussing
8 here to that, it's kind of hard to think about. And we
9 don't have to also believe as those tribes believe about
10 why that means, and why that's important, why it
11 shouldn't be damaged and all of that. And, of course,
12 it's the difficult one because anywhere along the coast
13 you're going to see that trail, from that unique
14 perspective.

15 But we do really need to understand that other
16 people believe about these types of what we might
17 believe to be esoteric thought. And that we had better
18 understand their deep-seated beliefs, if we are to
19 accommodate their interests in a way that allows us to
20 go forward.

21 So, I think the further out you get, the more
22 you get into these types of concepts and things that are
23 hard to wrap your head around, and to think about
24 mitigation and impacts.

25 I think as you get into the nearshore, you

1 need -- we all need to remember that a lot of that
2 nearshore, at one point, was above water. And over the
3 thousands of years now it is underwater. And I think in
4 the last 10, 15 years marine archeology has really taken
5 off as the technology's gotten better. And our marine
6 archeologists, working with tribes, are actually
7 beginning to do some very specific pinpointing of
8 cultural resources on the ocean floor.

9 And I think there's some very interesting things
10 that we might be able to do there to employ some marine
11 archeologists to think about some, perhaps, cultural
12 resource sensitivity mapping. So, as we're talking
13 about laying cables, we can think about where there
14 might be some places to avoid.

15 My good friend, Frank, points to a rock a couple
16 hundred yards off the coastline up north, and says he
17 remembers as a boy when that was connected to land. And
18 so, he has this knowledge of how our coastlines, in some
19 places, are eroding and have eroded. And there are some
20 ways to pinpoint. By just looking at underwater
21 geography, you can start to also identify some obvious
22 areas where there might be some cultural resources
23 located.

24 I think onshore, obviously there are challenges
25 when you bring things onshore, whether it's facilities,

1 infrastructure, transmission linkups. A lot of the good
2 places to bring things onshore are also good places
3 where tribal people have lived over the centuries. And
4 so, there could be onshore ground-disturbing impacts
5 that we would want to think about.

6 Our friends here, that have put out this
7 cultural landscape document, in certain sections
8 actually have models for how to do some predictions
9 about all of that, and how to do some cultural resource
10 sensitivity for some of that onshore locations as well,
11 and they've got some models.

12 And some models we, at the Energy Commission,
13 have been employing in other projects, such as the
14 DRECP, and a little bit in the San Joaquin Valley
15 Project. And I think we could take some of that and
16 turn it to the ocean, and probably come up with some
17 successful predictions.

18 I think in all of this, the biggest thing,
19 however you get the data, the data is only valuable as
20 much as tribes endorse it, and come along with it, and
21 speak from their perspective on what it means for their
22 values.

23 That means that we have to be serious about our
24 consultation with tribes. It means we have to bring
25 them to the table, as Steve brings up and as Deborah

1 brings up, the sooner the better. Tribes are so used to
2 us coming and knocking on their door when we have a
3 crisis or we need them. And I think it's smarter to
4 start the relationships before there is a project in
5 front of us, before there is a crisis, and to develop
6 those relationships in a meaningful way. So that when
7 you do get to the tough questions, you can call on
8 people and they will respond because they know that you
9 are committed to something over the long run.

10 And I would encourage us all to think that
11 through. That certainly is our philosophy here, at the
12 Energy Commission.

13 I'll close here with talking with my friend,
14 Frank, he said, yeah, okay, Tom, I know you're going to
15 talk to all those guys. He wasn't quite sure who all
16 those guys were. But he said, just remind them of this,
17 and he said, no one owns nothing. And I said, well, you
18 know, in this world everything can be bought and sold.
19 And I know that's your belief.

20 And he says, yep, but if you think you've own
21 it, you've already lost your ideas about sustainability.
22 He says, if we could get a philosophy where no one owns
23 anything and we think about it from our rights to
24 responsibly use and take what we need, we'll be in a
25 better place.

1 So, I'll close with that. I promised him I
2 would bring that up. So, for whatever that's worth,
3 that's what it is.

4 Thank you for your attention and I'm available
5 if there are questions.

6 COMMISSIONER DOUGLAS: Thank you, Tom. I
7 appreciate you stepping in on this and I appreciate the
8 outreach you did around the workshop, as well.

9 So, I think we should move on because we're a
10 little behind, mostly because I asked a bunch of
11 questions. But in any case, I want to thank our panel.
12 I really appreciate it.

13 And let's move on to the Offshore Developers and
14 Service Providers Panel. And I think we're going to
15 have Kevin Banister speak first, with Principle Power,
16 and then Alla Weinstein with Trident Winds will be next.

17 MR. BANISTER: Okay, well, thank you,
18 Commissioners, for the opportunity to speak here. And I
19 must confess to some guilt. My Power Point here may
20 have something of a military look to it. I think I've
21 got 25 or 30 slides here. So, I promise to run through
22 them quickly.

23 But actually, my intent in putting them all in
24 here was knowing that they'd be produced here, so people
25 can review them at their leisure afterwards. So, if I

1 do spin through some of these quickly, it's sort of
2 intentional.

3 So, if you want to just move to the next slide,
4 please. So, who is Principle Power? We're a technology
5 developer.

6 And, actually, if you could go back to the
7 previous slide really quickly. Our technology is, in
8 fact, the yellow bit that you see on the screen there.
9 I like to refer to it as the yellow floaty part. The
10 floating offshore wind project.

11 This is an actual deployment offshore in
12 Portugal. It's been in the water since about 2011. As
13 I progress through this, I'll talk through a little bit
14 more about that project and what its performances looked
15 like. But suffice it to say, it is floating and it is
16 perfectly suitable for deployments off the West Coast of
17 the U.S.

18 So, now you can move to the next slide. So as a
19 company, we're a technology developer and that is our
20 product. Our mission is to develop a technology that
21 can help us exploit that very powerful offshore wind
22 resource and also change the way that we install, and
23 simply think about offshore winds.

24 And I should say that our headquarters are
25 actually just sort of down the road in Berkeley,

1 California. So, California is a market that is
2 important to us for a couple reasons. Not only because
3 of the potential, but because many, most of the employees
4 of the company actually live and work not so far from
5 here.

6 The next slide, here. So here -- well, I guess
7 I'll repeat some of that. So, our corporate head office
8 is in Berkeley. We also have offices in Southern France
9 and in Portugal. Right now we're, you know, between 35
10 and 40 employees, and we've been growing pretty quickly.
11 And as I progress through this and show you, and talk
12 about some of what we've been engaged in around the
13 world, you'll understand why we've been growing.

14 The floating offshore wind market really is
15 coming. I think Walt Musial, from NREL, did a nice job
16 of setting it up. And I'll talk some more about that
17 here. But there is a lot of activity around the world.
18 It's simply increasing for floating offshore wind.

19 And the trends in offshore wind, generally, if
20 you can go to the next slide, are for projects that are
21 in deeper waters. They tend to be further from shore
22 and they tend to be larger projects. So, we're moving
23 from -- you know, I think the first wind project back in
24 1991, off of Denmark, was -- somebody in here will know,
25 but it was a pretty small project, 25, 30 megawatts,

1 something like that. And now, obviously, even here in
2 the U.S. we're seeing proposals for a gigawatt. And
3 some of the bigger projects in Europe are even larger
4 than that, at least in the planning stages.

5 This is one slide that people can review later
6 to read all of the little words on there. I won't read
7 them all now.

8 You can go to the next slide. Again, I think
9 Walt represented this pretty well. When you look at the
10 deep waters around the world, you start to understand
11 why something like floating solutions start to make
12 sense.

13 And as we think about it, you know, these are
14 the markets that we think about first. Europe, and
15 that's actually not an entirely representative image of
16 the markets that we think about in Europe. You know,
17 the Far East, Japan, Korea and Taiwan, increasingly has
18 become an interesting market.

19 Both coasts of the U.S. Obviously, the full
20 West Coast of the U.S. and Hawaii. And even in some of
21 the northeast projects that have been proposed, there
22 are water depths that are really appropriate for
23 solutions like the Wind Float.

24 And then, in the Med, there's maybe more deep
25 water than people would expect. And in particular, in

1 the South of France, some really excellent wind
2 resources that go along with that deep water. And the
3 French Government has just recently, in the last year or
4 so, embarked upon a pretty aggressive plan, and a lot of
5 money, to look into floating offshore wind as a solution
6 for their own climate goals.

7 And next, please. I won't belabor this. Walt
8 Musial did a great job talking about the different
9 technologies. But suffice it to say, as projects get
10 deeper the technology requirements change. So, in the
11 shallowest waters, we're accustomed to seeing mono-
12 piles, sort of like really long pencils that are pounded
13 into the seabed.

14 On this slide it says 0 to 30 meters. The mono-
15 piles may be getting to a point where they can get a
16 little bit deeper than that.

17 Jackets or tripods, more like probably 40 to 55
18 meters, or so, now, is what the technologies are
19 reaching. And then from there, you get into the various
20 floating concepts.

21 And the Wind Float is a semi-submersible
22 platform.

23 You can move on to the next, please. So, again,
24 what are we looking to do? We're addressing the
25 emerging needs of the global offshore wind market by

1 enabling deployments further from shore, in deeper
2 waters. And with a simplified deployment methodology,
3 we can assist with larger farm deployments.

4 The next, please. So, here's what we call the
5 Wind Float 1. It's been operating since 2011 offshore
6 Portugal. In this case, it's about 5 kilometers from
7 shore. As I look at it, it kind of looks like Santa
8 Barbara, but it's not.

9 This particular project's in pretty shallow
10 water. It's less than 50 meters of depth. But other
11 projects that we're looking at and have planned for have
12 been, you know, in waters as deep as 700 meters.

13 So for us, once we get deeper than about 40
14 meters, there's not a terribly difference in cost or
15 deployment challenges in those different depths.

16 If you go to the next slide, please. A quick
17 explanation of how this works. I mentioned that this is
18 the semi-submersible type. This is a technology that's
19 been in use for a long time. In particular in the oil
20 and gas industry. Semi-submersibles are nothing new,
21 they've been used for decades.

22 So the way that these -- that a semi-submersible
23 performs in the ocean and the type of stability that
24 they can provide is really, pretty well understood.

25 The innovation that Principle Power has brought

1 to this is the marriage of the, and the understanding of
2 the performance when the aerodynamic forces and the
3 hydrodynamic forces sort of come together. And that,
4 obviously, is a very complex set of variables that we
5 need to understand to assure that we get the most
6 efficient production from the wind turbine that we can.

7 A couple key features for the Wind Float, we're
8 turbine agnostic as a company. Meaning that we don't
9 really care if we're using a Siemen's turbine, or a
10 Vestas turbine, or even a Downwind turbine. Our
11 preference is to allow the developer to make the choice
12 around which turbine they use.

13 We do have a preference for the higher capacity
14 turbines that are coming out to the marketplace today.
15 And, in fact, we have designs for the big, 8-megawatt
16 turbines that are currently available, if you care to
17 place an order.

18 COMMISSIONER HOCHSCHILD: Just a quick question
19 for you. I gather with this design and this type of
20 application it's relatively stable. But in high seas, I
21 mean how much sway is there that occurs?

22 MR. BANISTER: It's a very small amount,
23 actually. And in the Portuguese project this -- and
24 I'll show you some numbers in just a second, in the next
25 slide. Do you mind if I just answer that in a second?

1 COMMISSIONER HOCHSCHILD: Sure, sure, sure.

2 MR. BANISTER: Well, actually, if you could go
3 back, I'll finish this and then I'll get to that.

4 So, there are two ways that we keep the system
5 stable. One is through, I'm going to number four here,
6 the Heath Plates. And if you look on the bottom, there
7 are these plates at the bottom of the structure.
8 They're almost like, if you were to imagine lifting a
9 plate out of a bathtub, the type of resistance that you
10 encounter when you try to do that. They serve the same
11 purpose, effectively adding to the mass as you try to
12 move this structure up and down because of the
13 resistance of the water above and below the plates.

14 And we also have two different kinds of ballast
15 in the water. One is a permanent ballast or an
16 operational ballast. In the columns that oppose the
17 wind tower, there's an amount of water that is
18 equivalent to the weight of the tower, and then the
19 blades, keeping it under sort of zero conditions,
20 keeping it entirely vertical.

21 And then we have an active ballast system, by
22 which we're able to move water from column to column as
23 wind speed and direction change. So, if the wind is
24 really blowing from one direction, the whole system will
25 want to heel just a little bit. And in that case, what

1 we'll do is we'll move water into the opposing column to
2 bring it back to verticality.

3 And that's really not important for the safe
4 operation of the system. Really, what that allows us to
5 do is to maximize, as I said earlier, the efficiency of
6 our production. Obviously, with a wind turbine, you
7 want to maximize the swept area, the square footage from
8 which you're extracting energy.

9 So, if you now go to the next slide.

10 COMMISSIONER DOUGLAS: So, just a quick
11 question. So, when you talk about moving water from one
12 side to the other, for example, is that done remotely or
13 how is that done?

14 MR. BANISTER: It's done automatically.

15 COMMISSIONER DOUGLAS: Okay.

16 MR. BANISTER: So, there's a system in place
17 that can sense -- like a typical turbine will have a lot
18 of different controllers on it. You know, they're
19 sensing the wind speed and direction, and they're
20 feathering their blades, or do whatever they want the
21 turbine to do under those certain circumstances. And
22 it's a similar system that causes that to happen. It's
23 entirely automatic. It's not like we have somebody on
24 board, you know, physically pumping water from one
25 column to another.

1 COMMISSIONER DOUGLAS: Yeah, that would be
2 inefficient. Thanks.

3 MR. BANISTER: So, it's the plates on the bottom
4 that really provide the stability for the waves. And
5 with the -- I'll say, with the prototype that's been
6 deployed for about five years, now, you know, we've been
7 able to see its performance across all sorts of
8 conditions. From wave events up to, you know, 16, 17,
9 18 meters, so we're getting close to 60-foot waves, now.
10 And we've been able to observe how much the structure
11 does heel.

12 And I'll just say that in every case it's stayed
13 well within the turbine tolerances that are provided to
14 us by the turbine OEMs. So, the amount that it has
15 heeled back and forth has just not been an issue.

16 And I think that's partially demonstrated by,
17 what is very hard to read on this slide, but on the
18 lower left that is a power curve. And it's the
19 published power curve of the turbine that has been used
20 on the prototype, which is a Vestas V80, 2-megawatt
21 turbine. A real workhorse in the offshore wind world,
22 thousands deployed.

23 And overland, across the published power curve,
24 is the actual power curve that this unit has experienced
25 under a series of different wave conditions. So, you

1 can see all those little dots. That's in 2-meter waves,
2 6-meter waves, 7-meter waves.

3 So, we can see that even though it's deployed on
4 a floating platform, the actual performance of the
5 turbine hasn't been degraded in any way. So that's
6 clearly a key finding for us.

7 The next slide. One of the things that we do
8 that's different from, in particular, bottom-fixed
9 foundations, is we tow out the fully assembled unit from
10 the key side.

11 And I think Ms. Weinstein is going to show a
12 short video, actually of the fabrication of the Wind
13 Float. Of this Wind Float in Portugal, how it was built
14 and then how it was towed out.

15 So, this really changes the type of vessels, and
16 the risks and costs associated with installation for
17 these projects. And it's the sort of thing that without
18 this ability, you simply wouldn't be able to achieve
19 here, in the West Coast.

20 The next slide, please. So, where are we as a
21 company? So, we would say that we're in the pre-
22 commercial phase. We have this single unit that's
23 deployed today. I'll talk in a second about sort of
24 where we are in terms of our next deployments.

25 What we need to do, now, is deploy projects in

1 small arrays, with a larger of what we really view to be
2 the commercially scaled, you know, sort of best in class
3 turbines, which are the 6- to 8-megawatt turbines today.
4 We expect to see that happening in the 2018, 2019 time
5 frame. And at that point, we would consider ourselves
6 to have a commercially available product.

7 If you go to the next slide, please. These are
8 a -- you can go to the next slide. I'll talk some about
9 where we're active.

10 So, around the world today, on this slide I'll
11 highlight the Wind Float Atlantic Project which is,
12 arguably, our most mature project. It's also slated for
13 deployment in Portugal, 2018 or 2019. It will be a 25-
14 megawatt project, with three floating foundations, three
15 turbines.

16 What's interesting and unique about this
17 particular project is that it is following a sort of
18 traditional finance model. Meaning that there's equity
19 and then there also will be bankrolling the development,
20 the CAPEX requirements for the project.

21 So, we think that this is a pretty significant
22 milestone sort of on the path to demonstrating the
23 technology's maturity. We've convinced -- I shouldn't
24 say we've convinced. The insurers and the financiers
25 have been convinced that the technology is going to

1 perform as we've described.

2 And where it is today is the equity is complete,
3 the equity round is closed. The bank that is in
4 diligent stages, now, we expect final investment
5 decision end of this year, roughly.

6 We are also involved with a -- really, I would
7 consider it to be a high profile consortium in France,
8 responding to the French tender which was released last
9 year. As a part of this consortium, which features
10 Engie, which is a big -- which was formally GDF Suez, a
11 big French utility, we submitted our proposal for an up
12 to 40-megawatt farm. And we'll hear results back from
13 that process in July.

14 We've been working in Japan with partners like
15 Mitsui, and Hitachi, and actually completed a design for
16 a downwind turbine.

17 In Scotland, we have a potential to deploy a
18 project in the 2018 timeframe that would also be roughly
19 50 megawatts. And we've had some what looks to be light
20 stage investors come into that project, which we're
21 hopeful that means that that actually gets deployed, as
22 well, as well as the others that we see here.

23 The Wind Float Pacific Project is the DOE-
24 endorsed project that we've been seeking to develop off
25 the Coast of Oregon. For those who follow offshore wind

1 closely, will have seen that there have been some
2 challenges with that project associated with securing
3 our purchase agreements. Truly, in Oregon, power prices
4 are quite low, as you know.

5 But one of the things that we think that that
6 project has really done, you know, we invested a lot in
7 understanding the environmental conditions that are
8 relevant to that project. It was sited 18 miles from
9 shore, off the Coast of Coos Bay, which is about 100
10 miles north of the California border, in about 400
11 meters of water.

12 In that project, some of that environmental
13 assessment was informed by an environmental framework
14 document that was put together by the Pacific Northwest
15 National Labs, amongst some others, which described
16 expected environmental outcomes from a project. I
17 guess, a case study project in the Northern Coast of
18 California.

19 So, we do think that there are actually a lot of
20 parallels between what we have learned about the ocean
21 environment in Oregon and what we might expect to see
22 here, in California.

23 And then, quickly I'll say that we've also been
24 active in Korea, Taiwan, in Hawaii, and are really
25 excited about what we're seeing on the East Coast of the

1 U.S.

2 Next.

3 COMMISSIONER DOUGLAS: Okay, and I was just
4 going to ask if you could get through the slides
5 quickly?

6 MR. BANISTER: Absolutely.

7 COMMISSIONER DOUGLAS: Thank you.

8 MR. BANISTER: These are some of the
9 organizations that we've worked with. There are a lot
10 of big, recognizable names there. I think that this
11 just indicates that the type of interest that there is
12 in growing in floating offshore wind.

13 The next, please. And I think this is one more
14 important point. We're seeing the Wind Float is really
15 gaining acceptance by the Certification Classification
16 Society. So, we've approvals in principle from ABS on
17 two different occasion, Bureau Veritas in France, and
18 then ClassNK in Japan. So, there's real class
19 acceptance for the technology.

20 And that basically means that they trust that
21 the structure is going to do what it's described to do.

22 Next, please. This is one that's always very
23 interesting to people and that's, you know, where we see
24 costs going for this. I think Walt, again, really
25 described well how expected costs for floating offshore

1 wind, we expect it to decline. We absolutely see that.
2 There's some real -- you know, things like
3 industrialization and the maturation of the industry
4 overall really will lead to significant declines in
5 costs for these projects.

6 Next. Just to talk about the California market,
7 in particular, I think that this is a really interesting
8 market for something like the Wind Float, and for
9 floating winds, in general. We've seen the quality of
10 the wind resource and we know the progressive natured
11 and even ambitious goals that the State has set for
12 itself.

13 There are a lot of advantages that I won't read
14 here, but that floating offshore wind can bring.

15 Next. And some that also have the potential to
16 reflect the costs that aren't always considered. And I
17 think, again, Walt talked about some of that as the
18 floating offshore wind has the potential to be a
19 complementary or play a mitigating role against the duck
20 curve. Others include avoiding transmission costs.

21 In Oregon, one of the features that was really
22 interesting to some of the players, like the BPA, was
23 the potential for a black start from that project, and
24 system resilience that something on the other side of
25 the grid could provide.

1 Next. So, I'll just wrap up here. So, the Wind
2 Float we believe is a proven technology. We're moving
3 rapidly down the commercialization scale. We think that
4 the product really reduces costs and risk in a way that
5 make it attractive for markets like this, and elsewhere
6 around the world. And we're certainly seeing other
7 jurisdictions move towards floating winds.

8 We've got several pre-commercial projects going
9 worldwide that can inform development here. And,
10 increasingly, we see the U.S. as a priority market for
11 us. As a California company, moving into the California
12 market and seeing it mature is something that's
13 important to us.

14 So, I believe that that is it. Yeah.

15 COMMISSIONER DOUGLAS: Well, thank you very
16 much.

17 MR. BANISTER: Sure.

18 COMMISSIONER DOUGLAS: Alla, you're on.

19 MS. WEINSTEIN: Thank you, Commissioner Douglas,
20 Commissioner Hochschild. It's a pleasure to be here.
21 It's a please to be here even with the fact that now we
22 have a request from the Governor Brown to form a task
23 force that I believe is going to be extremely necessary
24 as we move from technology demonstration development to
25 actual commercial exploitation of offshore wind

1 resources.

2 I'm going to talk about Morro Bay Offshore
3 Project, a gigawatt of installed capacity proposed
4 project. Whether we can or cannot deliver a gigawatt
5 will depend on transmission lines. Not onshore, but
6 actually on the backbone.

7 The project is going to reuse the infrastructure
8 that was available from the gas-powered plant. And at
9 some point in that life it did deliver about a gigawatt
10 of capacity. But we are not sure whether the lines
11 still have that capacity in it. So, we'll find out as
12 we move along.

13 The next slide, please. So, we'll talk about
14 who is Trident Winds? You know, we kind of appeared out
15 of nowhere. Trident Winds is a gathering of people that
16 have been in the industry, in a collective experience of
17 over 120 years.

18 I, myself, started with renewable energy back in
19 2001, with the Wave Energy Project that was the first in
20 the nation to be permitted for FERC, for the
21 installation of a wave energy demonstration project,
22 together with the Makah Indians, in Olympic Coastal
23 National Marine Sanctuary.

24 I realized later on that probably I needed to
25 move to something that would be commercial a little bit

1 sooner than the wave energy. And that led me to the
2 floating offshore wind. So, I was the founder of
3 Principle Power, which the company I left about a year
4 ago, and then I turned around and said technology great,
5 wonderful, it's maturing, and now we need to do a
6 project. And that's how the whole project got
7 conceived.

8 The other partners of the company come from
9 utility, Eric Markell was the CFO of Puget Sound Energy,
10 and Brian Walshe is a consultant to the power industry,
11 participated in design, installation, development of
12 over 200 power plants. And Jeff Bodington has been in
13 the finance of power industry for over the last 25
14 years.

15 The next slide, please. So, why did this
16 project come about? Well, you need three elements for
17 the project to become a reality. It's like a stool, you
18 know, that has three legs. One, you need a market. The
19 market is there. California has a demand. California
20 has a law that requires 50-percent generation. And in
21 our opinion, you can get there, but I think you can get
22 there with offshore wind.

23 Technology readiness. Technology has to be
24 mature enough. And as you heard from Kevin, and as I
25 will talk about the Statoil's development, there are two

1 technologies that are now coming to be commercially
2 viable, and though they're not viable today, they will
3 be by the time we get to the point of needing them to be
4 selected and constructed.

5 And then, you need permitting. The Power Act of
6 2005 identified Bureau of Ocean Management as a
7 permitting agency for siting and leasing the ocean floor
8 for renewable energy. And that gave us the process
9 which then has been validated through the Wind Float
10 Pacific as how, and how long will it take to get through
11 the process.

12 That is what we're following. Those three
13 elements were important and that's why we're starting
14 the project.

15 So I ask a number of times why now? Why today?
16 Why here? Why this? We, as humans, I think realize,
17 and you, Karen, said it very well, we cannot -- we don't
18 have time to wait. We need to wean ourselves from the
19 fossil fuel and we need to move to electrical energy
20 generation using renewable sources. And as
21 transportation will increase its demand for electricity,
22 we need to do something different than what we're doing
23 today.

24 So, we really need to impact the climate on a
25 good side because, otherwise, our shoreline is going to

1 change significantly. And while we need to do it
2 responsibly and in a protective manner, we also have to
3 realize why we're doing what we're doing. And that is
4 because we need as much renewable energy as possible.

5 The next slide, please. Today, there is 11
6 gigawatts. That's 11,000 megawatts of installed
7 capacity of offshore wind in Europe. That's at the end
8 of last year. There is a ton of information available
9 on how devices operate, how they work, what the
10 environmental impacts are, and we should be learning
11 from that as much as possible. We know where to get the
12 data. We know all the agencies or companies that
13 collect the data, where it resides. European Wind
14 Energy Association is a wonderful organization that has
15 a lot of information that can be used by just about
16 anybody who needs the data.

17 But it's important that Europe gives us the
18 examples of the environmental impacts.

19 On the technology side, on the floating
20 foundation side, we now have 15 megawatts of installed
21 capacity around the world. The leader was Statoil, with
22 the installation of High Wind in Norway, in 2009. It
23 was followed by Wind Float in 2011, in Portugal. Then,
24 it was followed by two installations in Japan in 2013.
25 And the last installation, which was already 7 megawatts

1 installation, was done at the end of last year, also in
2 Japan, by Mitsubishi Heavy Industry.

3 All the other four devices carry 2-megawatt
4 turbines. The last one already went to the 7-megawatt
5 turbine.

6 There is one more semi-submersible structure
7 that is planned to be installed in Japan. Actually,
8 it's a SPAR, it's a semi-submersible. They were have a
9 little trouble appending it, but I'm sure in the next
10 couple of months we'll see one more 7-megawatt installed
11 in Japan.

12 So, it's important to realize that we may think
13 the technology's not there but, in reality, it is there.
14 And by the time we're going to be done or through the
15 permitting regime, technology will be ready for
16 commercial exploitation.

17 Today, two of those principle or two of those
18 devises have progressed through the demonstration
19 prototype and so. So, I'm going to show you two videos,
20 so that you have an idea of what those devices look
21 like.

22 The next slide, please. Oh, I see. Okay, the
23 first one we're going to see High Wind. High Wind was
24 installed, as I said, in 2009, in Norway. We're having
25 a little trouble.

1 COMMISSIONER DOUGLAS: And how long are the
2 videos, are they fairly --

3 MS. WEINSTEIN: Two minutes, less than two
4 minutes.

5 COMMISSIONER DOUGLAS: Excellent.

6 MS. WEINSTEIN: Well, maybe -- no, that's Wind
7 Float.

8 (Video playing)

9 MS. WEINSTEIN: Just to give you a reference
10 point of the size -- (inaudible) -- as Kevin said, this
11 device is installed five kilometers offshore, including
12 five meter (inaudible) -- it has been in operation for
13 the last six years, almost, five years. And has
14 survived significant storms. I think the maximum storm
15 was about 18 meters, which was about 2 meters longer
16 than the High Wind, which survived about 20-meter storms
17 in Norway.

18 (Video stopped)

19 MS. WEINSTEIN: And, hopefully, we'll see the
20 High Winds video. High Winds was installed in 2009.
21 It's a different principle of operation. It's a Spar.
22 If you remember the picture that Walt showed, there are
23 three different concepts for floating offshore wind.
24 It's a Spar, semi-submersible and a tension-like. And
25 High Wind is a Spar, which is basically a long cylinder.

1 The stability that High Wind derives, besides
2 its own weighted bottom, there is a --

3 (Video playing)

4 MS. WEINSTEIN: -- controllers that maintain its
5 pitch motion below the prescribed, turbine-prescribed
6 motions. Well, maybe we'll not spend the time. You can
7 find the High Wind video on the Youtube. But it was
8 important to realize that between High Wind and the Wind
9 Float -- there it is.

10 So, you can see that the High Wind structure is
11 different. The bottom is the piece which is long and
12 submerged, and the top is the turbine that, when it was
13 installed, it was fully assembled. Which is actually a
14 different methodology they used for fixed foundation
15 offshore wind.

16 (Video stopped)

17 So, both High Wind and the Wind Float are now
18 progressing to the multi-device installation. The High
19 Wind will be installed in the 30-megawatt installation,
20 using Siemen 6-megawatt turbines, in Scotland. And that
21 would be installed in about two years.

22 Wind Float would be installed about a year or
23 two later, with 8-megwatt Mitsubishi Vestas Turbine.

24 The next slide, please. Skip a couple of them.
25 the next one.

1 Okay, so the Morro Bay Project was conceived
2 with the fact or the knowledge that though the wind
3 resource is best on the north side of California,
4 transmission line limitations and other impact or,
5 rather, constraints probably make the project very
6 difficult to do on the first time around.

7 So, we decided to go to a different location and
8 we chose Morro Bay for multiple reasons. One of them is
9 the plant that's no longer in operation. And the
10 picture on the bottom shows the infrastructure onshore
11 that we can reutilize for bringing to the substation
12 that's available onshore.

13 There is an outflow tunnel -- I'm sorry, an
14 intake tunnel that brings the tunnel, itself, to the
15 power plant. And that basically gives us only about 200
16 feet of onshore or underground connection that we need
17 to put to the PG&E substation.

18 The plant is now owned by Dynergy and it is
19 going through a sale process. So, once that sale is
20 completed, then we'll know who the new owner is of the
21 infrastructure. But from what we know, they're not
22 planning to reuse the power plant for power plant use.
23 And so, that basically gives us an infrastructure that
24 we can reuse.

25 What does it mean or why is it important? It is

1 important because we basically will not be touching the
2 shoreline. We can come with the horizontal drilling
3 that would allow us to go under the bottom of the ocean
4 floor and provide the minimal disturbance to the
5 shoreline, which is very important.

6 So the picture on top, if you stand where that
7 big rock is, is going to be exactly facing the
8 installation that we're proposing to install in a
9 northwesterly direction.

10 The next slide, please. When we went through
11 the site selection, we've done a lot of filtering,
12 trying to identify where we can put the project. You
13 think that the ocean is very large, but once you start
14 looking at the bottom of the ocean floor, you're finding
15 a lot of constraints.

16 And so those constraints kind of led us to be
17 where we are. As I mentioned before, we're following
18 the Power Act of 2005, which means we have to work
19 through BOEM. And the BOEM regime says that they cannot
20 permit projects or they cannot consider aliquots that
21 are included in the National Marine Sanctuary. So, that
22 told us that we needed to be outside the marine
23 sanctuary area.

24 We needed a wind resource greater than 8 and a
25 half meters per second, and that was available further

1 offshore.

2 We needed a distance for sure, as such that it
3 will not be visible. I think we heard a lot today about
4 visual impacts, about historical preservation, tribal
5 constraints and so on. So, we chose the location such
6 that if you are an average human, standing onshore,
7 you're only going to see the installation, it's going to
8 be on the horizon. Even though the structures are over
9 400 feet tall.

10 So, the site was also optimized for fishing
11 grounds and habits, offshore birds and mammals. We did
12 sit down with NOAA and we went through a lot of GIS
13 layers to make sure that we are out of sight, out of
14 mind, out of bird's path and out of mammal's path. And,
15 we're out of shipping lanes, as well.

16 So, we did try to do as much as we could with
17 the data that we had available.

18 The next slide, please. So, this is the actual
19 location of the proposed installation. You see the
20 sheeted area to the right, that is the Monterey Bay
21 National Marine Sanctuary. And because we're going
22 through the BOEM regime, we had to make sure that no
23 aliquots were in the sanctuary.

24 We also wanted to make sure that we're not going
25 to fall, literally, into the Diablo Canyon, which would

1 be below the 1000-meter contour, and that's the contour
2 to the left of the installation. And visually, we had
3 to be farther onshore, and in the 8 and a half meter
4 wind resources, that put is about 33 miles offshore, as
5 the crow flies, to the tunnel where we can put the
6 cable.

7 So, there will be one cable coming to shore, the
8 export cable. A big, very large cable carrying all the
9 power. With a floating offshore substation that would
10 be located at the most southeastern corner from which
11 the cable would go.

12 And then each unit, that would be situated
13 facing the wind, which is in the northwestern direction,
14 will be interconnected with the inter-array cables.

15 The next slide, please. We are very
16 fortunate -- actually, can you go back one slide?

17 If you look in the left-side corner, you will
18 see a little dot. It looks like a drop, right? It's a
19 buoy, it's an old buoy. So, that is very fortunate to
20 have an old buoy sitting as close to the installation as
21 possible.

22 And if we go to the next slide, we took over 27
23 years' worth of data for wind and wave from that buoy,
24 plotted out to see what our wind resource is. And
25 what's interesting is that it's a very directional wind,

1 to the northwest. And it's also peaking in the summer
2 months. So, the wind resource coincides with the demand
3 profile of PG&E.

4 And if we go onto the next slide, not only does
5 it coincide with the profile, it also coincides -- it's
6 also very consistent. So, looking at this slide, you
7 will see that the red line is solar profile. The middle
8 line is the onshore wind. And the top line, not the
9 shaded green stacks, but the top line, is the offshore
10 wind at this particular location, from that buoy.

11 So, if you think about it, the green bars is the
12 PG&E demand curve. The offshore wind can satisfy, not
13 only solve the duck curve, but actually it comes to
14 pretty much satisfying almost full demand of PG&E.

15 And that means that that resource can be, you
16 know, one of the most valuable resources available to
17 utilities that need to satisfy certain demand.

18 The next slide, please. The visual distance to
19 site, and whether the installation will or will not be
20 visible, we used the Coast Guard Guide. And the Coast
21 Guard basically says that if you are 23.4 miles, for
22 that particular region, because they have guides for
23 just about every reason, 400-foot tall structures will
24 not be visible from shore. That's why we did what we
25 did, putting it as far as we did, to assure that there

1 will be minimal visual impact.

2 The next slide, please.

3 COMMISSIONER DOUGLAS: Okay, and I'm just going
4 to ask that you move through fairly quickly because
5 we've, despite our best efforts, gotten more than a
6 little behind here. Thank you.

7 MS. WEINSTEIN: Two slides left.

8 COMMISSIONER DOUGLAS: Great.

9 MS. WEINSTEIN: So, what happened? We submitted
10 our unsolicited lease request in January. In March,
11 BOEM determined it qualified to hold the lease. So now,
12 BOEM is conducting its outreach. And in about July,
13 August time frame they will publish RFI. If there is no
14 competitive interest, then we move to the NEPA process,
15 starting sometime in the fourth quarter of 2016.

16 If there is a competitive interest, the whole
17 process gets delayed by about 12 to 18 months because
18 it's going to move into the auction, competitive auction
19 process.

20 So accomplishments today, we have a cooperation
21 agreement with the City of Morro Bay. We've done
22 extensive stakeholder outreach with just about every
23 agency we could reach. But we did not do as extensive
24 outreach with DOD, which we've now started to do, as of
25 this morning.

1 And we submitted the lease request and we're
2 also securing exclusive rights to the grid connection
3 that's available right now.

4 The next slide, please. So, the offshore wind,
5 one the jackpots in the permits. You heard from Bill,
6 earlier, that they got about 28 permits for wave agency,
7 we got 33. It includes every -- just about every State
8 agency, federal agency, and FAA, and the local agencies,
9 and tribal consultation.

10 So, let's go to the next slide. Skip that one,
11 that's more of the permits. And schedule-wise, we're
12 looking at the COD, or commercial operation date around
13 2025, with installation and construction starting around
14 2021, 2022.

15 It is a long process. It is the first time in
16 California and we expect it to be interesting. And,
17 yes, it is a rollercoaster ride and we do have our
18 seatbelts on.

19 The next slide. California offshore wind is a
20 very wonderful resource. There is a recent publication
21 from NREL. You can take a look at the link that's
22 provided. That basically provided the study of economic
23 benefit to California. I'm not going to read the
24 numbers. They're large, they're big and the resources
25 is something I believe is very important to California.

1 So, with that, thank you very much for your
2 attention.

3 COMMISSIONER DOUGLAS: Thank you very much.
4 Thanks for being here.

5 Let's go to Jim Lanard, Magellan Wind.

6 MR. LANARD: Thank you, Commissioners. Thanks
7 very much for having Magellan Wind here. My name's Jim
8 Lanard and I'm the CEO of Magellan Wind.

9 And I have two colleagues here that I'd like to
10 briefly introduce. Jeff Kehne is the cofounder of
11 Magellan, and Dan Reicher, from the Stanford Center for
12 Energy Policy and Finance is our senior advisor.

13 Missing here, but residing in Demark, is Henrik
14 Stiesdal. He's retired from Siemens as the Chief
15 Technology Officer for Siemens Wind Power. He holds
16 about 700 patents and he's been a very senior
17 collaborator with us, and we're working to move offshore
18 wind forward with a lot of his really creative and
19 brilliant ideas.

20 I've been asked to basically wear hats today to
21 speak with you today. The first is to talk about
22 lessons learned from East Coast developers, based on my
23 development work for Blue Water Wind, Deep Water Wind,
24 and then as founder and first president of the Offshore
25 Wind Development Coalition, the trade group.

1 And then, secondly, I've been asked to talk a
2 little bit about issues as a developer. Most of that's
3 been touched by some of these other colleagues, so I'll
4 be able to abridge my comments for that.

5 Just a couple of perspectives. In 1991, the
6 first offshore wind turbine was put in place, in Europe.
7 It's still operating. There are now over 3,000 turbines
8 operating at 84 offshore wind farms, in 11 countries.

9 We're really behind. And we're behind because
10 in Europe we've got national energy policies, country by
11 country. We don't have a national energy policy. The
12 closest we've come is President Obama's Clean Power
13 Plan, being challenged in the courts.

14 But we do have a sub-national energy policy, led
15 by Governor Brown, under two MOU, signed on by 128
16 jurisdictions, in 28 countries, and six continents. So,
17 congratulations to the Governor for leading something
18 that our Congress and Washington wasn't able to take on.

19 So, the other difference between Europe and the
20 United States is that in Europe almost every country
21 issues both the lease and the revenue stream that's
22 necessary to finance the projects.

23 In the United States, the federal government is
24 our landlord and each state is the revenue stream
25 creator. So, in the offshore wind industry, we deal

1 with 32 different states that border on different
2 coastal waters.

3 We recognize that California is going to be the
4 toughest State in the country to permit offshore wind.
5 And to the agencies who were here this morning, while
6 you may hear optimism from me, we're coming in with our
7 eyes wide open.

8 So, a couple quick lessons. First, for the
9 federal government, then the state government, and then
10 a couple for the developers.

11 Right now, the federal government regulates us,
12 the Bureau of Ocean Energy Management, the same way that
13 oil and gas is regulated. But we are not the oil and
14 gas industry, obviously. We certainly expect close
15 scrutiny on all issues related to wildlife protection
16 and worker safety. And the regs and the applications of
17 these regulations don't need to anticipate oil spills,
18 however, and they do. So, we need to get some
19 flexibility out of the federal government.

20 I'm easy to see how they want to regulate a wind
21 spill, but until we figure that out, we shouldn't be
22 regulated for an oil spill, it's not going to happen.

23 On the State level, I do want to congratulate
24 you, Commissioners, for bringing the panel together this
25 morning. I've been to federal/state task forces on

1 offshore wind, in almost all the states on the East
2 Coast that have them. I've never seen a conversation
3 like this, in any of those, where there was real
4 interaction, collaboration, sometimes a little bit of
5 competition among the different federal and state
6 agencies. But really, really important that that
7 continue and it continue when BOEM and the states
8 actually form the task force. We're really appreciative
9 that Governor Brown wrote the letter last week, to
10 Secretary Jewell, about that.

11 And something that I mentioned during the break,
12 that I think is really critical, is that there be some
13 consistency and ownership by these State agencies.
14 It's really important, I think. And if I were you, at
15 the Commission, I'd love to see almost a mandate that
16 the State agencies appoint people who are going to be
17 the owners of that issue for their agency. And not say,
18 oh, I can't go today, I'm too busy, can my colleague go?

19 Because there's such a learning curve here.
20 I've been doing this for ten years and I've learned even
21 more today that we really need people to have -- to
22 start creating an historical, institutional memory, as
23 you heard Alice talking about 2025. Before we go
24 forward, we don't want to see a lot of turnover in that
25 period.

1 Last week I was invited to testify before the
2 United States Congress on the President's National Ocean
3 Policy. I was asked to support the President's position
4 on that. And I think there's some lessons learned from
5 there that I'd like to apply very quickly.

6 We have multiple conflicting uses in the ocean,
7 military, commercial fishing and aquaculture, tribal
8 nation, cultural issues, archeological issues, shipping,
9 commercial, and recreational, international and national
10 commerce, recreational uses, energy and natural
11 resources, sand mining, oil and gas, wildlife
12 protection, sea birds, mammals, fish and other marine
13 life habitat, and view shed issues.

14 None of these groups think they're taking too
15 much of the ocean up. In fact, none of them's offered
16 to give any of it back. If anything, they're trying to
17 stake out some option for access to larger and larger
18 swaths of the ocean. We heard it from the military.
19 New defense technologies are going to need more space.
20 Expanded shipping lanes are being proposed on the East
21 Coast. Fishing and aquaculture want more, more
22 protected areas are being proposed.

23 Some people would like to expand oil and gas.
24 That's not something that Magellan Wind is going to
25 stand behind. But now, offshore wind and eventually

1 marine hydrokinetics. So, the state/federal task force
2 really has an important role to play.

3 For the developers, two things. One, logistics
4 is more important than you can ever imagine. And one of
5 the most important hires you'll ever make is a logistics
6 specialist that can really manage all the moving pieces
7 as you start planning, and developing, designing a
8 project. Safety goes hand-in-hand with that.

9 And then, what we've seen on the East Coast, on
10 messaging, the message we like to give everybody is
11 never over promise on promise. Don't promise too low a
12 price.

13 Number two, don't over promise on when you're
14 going to start delivering power.

15 And number three, don't ever tell anybody what
16 you think your environmental footprint is. Let those
17 stakeholders decide for themselves what they think it is
18 by you providing good information.

19 So, we need to all work together, with all the
20 stakeholders, on this.

21 Quickly, let me just go to some perspectives, as
22 an offshore wind developer in California. Jeff Kehne
23 and I came out in October '13, to the University of
24 California, at Davis, for an offshore wind conference.
25 I was a speaker there for the Offshore Wind Development

1 Coalition. And we learned very quickly that offshore
2 was not going to help the State meet it's 2020 33
3 percent. We didn't know that coming out. We were
4 really impressed. And congratulations to the Governor's
5 Office for getting that in place with the IOUs and the
6 POUs.

7 But we did see the demand going forward. Alla
8 talked about that. And we do believe that we can play a
9 role in helping the State meet these aggressive goals.

10 So, our approach was, what can we do as Magellan
11 that's good, and then what expertise will we be missing?
12 So, our core competencies, in our group, deal with the
13 ability to get leases, the ability to work with state
14 agencies on permitting, off take negotiations,
15 interconnect and transmission.

16 But we also know what we don't know, which is we
17 don't know engineering and design. We don't build
18 things and we don't do operation and maintenance.

19 So, when we started Magellan in January of 2014,
20 we started looking around for those experts. And in
21 Europe we found a company that we've been working with
22 since then. It's Stat Oil. I want to thank Alla for
23 doing some of the commercial promotions for us, so we
24 don't have to do it.

25 I want to introduce my colleague Mike Olsen,

1 from Stat Oil, who's here. Mike's been out with us to
2 California many times. I think both of you have had a
3 chance to meet Mike.

4 Commissioner Hochschild, you asked about the
5 sway for the turbines on the semi-sub. I can't address
6 it. But on the Spar buoy, the biggest sway that we
7 would expect is about seven degrees. That's built
8 within the tolerances of both the turbines, the blades,
9 and the stress on structure that we feel for the Spar
10 buoy. And we've not exceeded that with the Stat Oil
11 High Wind, off of Scotland. That's in 600 feet of
12 water.

13 As Alla said, Stat Oil is moving forward with
14 five, 6-megawatt turbines off of Scotland. That will be
15 a commercialized project in 2017, just next year. And
16 we expect that you will be taking trips over there to
17 see, firsthand, what offshore wind looks like in
18 floating foundations, in deep water. And we think those
19 fact-finding trips are going to be really interesting.

20 We also -- I said we come in with open eyes with
21 this, and we do. We look at some of the market
22 uncertainties and we're looking to you, and other State
23 agencies, to help resolve some of these questions.

24 I'll just give you five or six. How does the
25 duck curve get addressed? What's the timing and cost of

1 energy storage? What's the evolution of
2 regionalization? We started with CAISO, with the Energy
3 Imbalance Markets. Didn't really good success. SB 350,
4 now, has called on CAISO to work on a draft plan for
5 regionalization of the grid. We've seen a draft of
6 that, now. There are some very interesting data points
7 in there. That may affect how the market gets addressed
8 from inside the State.

9 How do the renewable energy buckets get
10 addressed? SB 350 follows the earlier protocol of
11 keeping most of this in-state generated or directly
12 interconnected to the grid. How does that get resolved?

13 We heard Commission Hochschild also ask about
14 the demand of electrification, including electric
15 vehicles. That's going to create new demand.

16 And then, what's the offshore wind LCOE? And
17 we're very excited about some of the technology we're
18 looking at, that we think that it can really bring it
19 down.

20 So, let me talk about something that I think was
21 discussed a lot in the earlier sessions today. And
22 first, let me say that with Stat Oil we're
23 investigating, we're understanding the market. We've
24 had these numerous joint meetings. We have found that
25 in most of the meetings we've had with the State

1 policymakers, from the Air Resources Board, to the
2 Utility Commission, to the Energy Commission, to CAISO,
3 to the Governor's Office and the Governor's Council. In
4 our rollout of this, we were really making first
5 impressions because people on the West Coast weren't
6 thinking of offshore wind because the technology,
7 floating foundations, wasn't being considered because it
8 wasn't close to being commercialized.

9 It will be truly commercialized next year with
10 the Stat Oil Scotland Project. And we've started to
11 work, again, with all of these different State
12 policymakers to introduce them to that. And we
13 appreciate you holding this hearing today.

14 And we couldn't have done that without Stat Oil
15 because we don't bring the technology and the expertise
16 of building, owning and operating. So, we're delighted
17 to have that relationship.

18 So, the unknowns are what are the effects, what
19 kind of environmental effects. A lot of discussion on
20 that. And for preconstruction studies, the BOEM
21 regulations will require that we spend at least two
22 years counting every bird we can find, every marine
23 mammal, every type of marine life under the sea that we
24 can find. That's millions and millions of dollars of
25 studies.

1 Now, we're not just going to go out and do that.
2 So, we've already met with the Center for Biological
3 Diversity for Point Blue, some of the more national
4 groups, like NRDC, EDF, and talked with them about
5 collaborating to help us figure out what the right
6 studies are. And so we've asked these groups, what data
7 do you have that you can share with us? What are your
8 data gaps and what do you want to know?

9 So that we're going to come up with study
10 protocols and then we're going to take it back to the
11 people, some of whom are likely to be litigants against
12 us and say, look, here's our plan. Tell us what's wrong
13 with it? And maybe you can even advise us on who we
14 should hire to do those studies that we have to present
15 for NEPA and CEQA review.

16 And we'll do that because we are interested in
17 one thing, reducing risk to ourselves from a business
18 point of view, and reducing risk for an environmental
19 point of view.

20 Then we're going to do something else that I'm
21 really proud of and we've worked this out with Stat Oil.
22 We're going to make post-construction monitoring
23 available to any state and federal agency using our
24 powered systems out at the site to power data collection
25 systems. Whether it's radar, sonar, something in the

1 water, figuring out how to assess bird strikes, for
2 example. You can't count birds in the ocean that have
3 been hit because they're not going to be there. But
4 there are other ways to do this.

5 And the reason that we want to share all the --
6 and we've made this offer and we've extended this offer
7 to the national and regional environmental groups.
8 Let's collaborate, let's all look at this data. Because
9 we're not here to build one wind farm. And the
10 industry's not here to build just one of Alla's
11 projects, or Trident Project or one Magellan Project.

12 We're here to serve a purpose. From the
13 business point of view, again, it's to build multiple
14 wind farms. From an environmental point of view, it's
15 to contribute to the fight against climate change.

16 So to do that, with post-construction monitoring
17 we can figure out if there are unintended consequences
18 after the first, and we can figure out what the
19 mitigation measures are. There might be adaptive
20 management. I'm not committing to this. So, I want to
21 be on the record, I'm not committing to this.

22 But our floating foundations are anchored. If
23 we have a micro siting issue someplace, those anchors
24 could be moved and that turbine could be towed away.
25 That's different from a land-based turbine. Fixed, it's

1 fixed.

2 And then, also, we want to work with the
3 utilities. On the East Coast, I negotiated the first
4 offshore wind farm PPA with Delmarva Power, in Delaware.
5 It was a slugfest. In fact, the Utility Commission had
6 to appoint not only a facilitator, but a moderator and a
7 peacemaker because it was so tense between the two.

8 We learned our lessons from that. We eventually
9 kissed and made up with the utility and, eventually, the
10 Blue Water Wind Company that I was working for was
11 bought by NRG, and they decided to let that PPA lapse.

12 So, we understand the first movers are going to
13 be high. But we need to be able to show you and
14 everybody else in the State that projects 2 through N
15 won't be.

16 So, I have three challenges that I think we need
17 to address. For the developers, we have to convincingly
18 make that we can reduce our cost.

19 But State policymakers and regulators have an
20 obligation, too. And your obligation is twofold. One,
21 to make a case to the development community, these are
22 really, hugely expensive projects to develop. Not just
23 to build, but to develop. That the State is open for
24 business for offshore wind.

25 And number two, that you can create a regulatory

1 framework that will be established to allow offshore
2 wind to move through the decision making process. We're
3 not asking you to pull any punches. We're not asking
4 you to be anything less than the most stringent State in
5 the nation permitting offshore wind. But we need to see
6 a regime. You don't have one, you shouldn't be expected
7 to have one, we're just commercializing the technology.

8 And then to developers, to the federal
9 government and to the state government, we all have to
10 work closely with all the other stakeholders. Because
11 if we don't, there's just going to be sand thrown in the
12 air. We're going to see litigation that's not
13 necessary. Instead of moving to the benefits of
14 offshore wind, 400 construction jobs over two to three
15 years, for fabrication, installation, eventually
16 manufacturing, 40 maintenance and operation jobs for 20
17 to 25 years.

18 And environmental benefits that I'm really proud
19 of. I've spent my whole career in energy and
20 environmental issues. A wind farm will power maybe
21 175,000 homes and will avoid 1.3 billion pounds of
22 carbon dioxide emissions each year for traditional
23 utility-scale wind farm.

24 So, we're really appreciative that you let us
25 come today and look forward to partnering and

1 collaborating with you and your colleagues. Thank you.

2 COMMISSIONER HOCHSCHILD: Thank you, Jim. You
3 know, as I look at the potential for the resources, and
4 there's obviously pros and cons to any new technology.
5 And, you know, I would say dealing in a marine
6 environment, generally, is a challenge. Obviously,
7 servicing the turbines, themselves, is a challenge.

8 But one of the potential benefits is just the
9 size of the turbines can be much, much larger, right?
10 Your typical wind turbine on land today in California
11 is, you know, a megawatt and a half or 2 megawatts. And
12 I know, Alla, you mentioned getting up to 8 megawatts.

13 And, obviously, there's a real economy of scale
14 there that's possible because you don't have to have the
15 constraint of trucking the equipment to the site. You
16 can take it out in a large ship.

17 What is the sort of theoretical size limit for
18 the turbines that we could eventually get to or are we
19 close to that, now. What would you say to that?

20 MR. LANARD: Well, I turned to my expert, Henrik
21 Stiesdal, who's working and advising with us. And he,
22 at Siemens, he was responsible for designing the 10-
23 megawatt turbine. In fact, the first offshore wind
24 turbines in the world are Henrik's turbines. His
25 design. First at Vestas, and then at Bonus Energy, and

1 then at Siemens. So, he's designed the 10. He sees --
2 and others talk about, behind the curtain, 12-, 14-, 15-
3 megawatt turbines. But it's all dependent on the wind
4 regime. And there are some counter intuitive arguments
5 that in some cases smaller may be better.

6 So, what we want from an offshore wind farm, I
7 believe, is to be away from migratory flyaways. So, we
8 want to be at least 15 miles off the coast. We want to,
9 obviously, pay attention to the pelagic species that are
10 out there. And we want to make sure that we're
11 addressing view shed issues.

12 I was really touched by Thomas' comments about
13 tribal nations and the cultural values that they
14 attribute to so much of the ocean on land, at the coast,
15 and further out with the pathways to the sunsets. These
16 are very important issues. But distance will help with
17 that and the size will depend a lot on the wind regime.

18 COMMISSIONER DOUGLAS: Okay. Well, thank you
19 very much. Your comments are really helpful,
20 thoughtful, and appreciated.

21 Let's go to Doug Davy, with CH2M Hill.

22 MR. DAVY: Good afternoon. Thank you,
23 Commissioners, for the opportunity to address the
24 workshop. I will be brief.

25 And Kevin Banister apologizes he had to leave

1 the meeting.

2 Most of my career I've been a permitting project
3 manager for energy facilities of all different types,
4 including thermal, thermal solar, solar photovoltaic,
5 onshore wind, and also wave energy projects, including
6 the PG&E Humboldt Wave Connect Project. And now, we're
7 starting permitting again on the Cal Poly Cal Wave
8 Project.

9 So, much of what I've said -- I just want to say
10 what a terrific session I think we had with the
11 regulatory agencies today. That was really helpful. It
12 was really good to see that.

13 And, you know, some of what I'm going to say was
14 covered there and so I'll just go through it a little
15 more quickly than otherwise, and kind of hit the high
16 points. But which, some of the same themes are
17 collaborative process, regional planning and baseline
18 data. So, that's kind of my Haiku.

19 But first, I just wanted to talk very briefly
20 about some issues that are unfamiliar in ocean energy
21 permitting, just at a very high level. Here's some
22 things that come to the fore for ocean energy that we're
23 not quite as used to seeing. And they're not brand-new
24 issues. But they're somewhat new and they're prominent
25 issues with wave and offshore wind.

1 And Bill Foster mentioned some of these, also,
2 so I'll just list them briefly. And there is -- the
3 West Coast wave energy permitting experience here is the
4 Wave Connect Project, ongoing Cal Wave, the Ocean Power
5 Technology's Reed (phonetic) Support Project, and Alla's
6 at Morro Bay. And currently, the Pacific Marine Energy
7 Center is undergoing permitting up in Oregon.

8 So, what are some of these issues that, really,
9 the agencies are kind of grappling with, and the owners
10 that we haven't really encountered. There are some
11 uncertainties and, you know, so there are concerns about
12 the uncertainties, how do you resolve them.

13 EMF, electromagnetic frequencies, one of those
14 power cables. Power cables have been around a long
15 time. But we know that there are a few species of
16 marine life that sensitive to EMF and can detect it.
17 What we don't know is what's the effect on their
18 behavior.

19 Biota interactions with devices and cables. Do
20 the whales hit the cables? All of the offshore wind,
21 floating offshore wind, wave energy converter devices
22 are all moored with a catenary mooring, with some pretty
23 big cables. You know, are the whales going to bump into
24 those and become entangled, or other marine life?

25 Does derelict fishing gear get caught in the

1 cable and then diving birds get caught in that?

2 For wave energy converters, in particular, the
3 purpose of the device is to remove energy from the
4 waves. So, you kind of have the question, really
5 depending on how close to shore it is, is what happens
6 to the shoreline? What happens to geomorphology?
7 You're removed some energy. Sediment transport up and
8 done.

9 And also, you have surfers who want to surf the
10 waves, you know, and believe me, they're concerned about
11 that.

12 Competing uses on land. Of course, there may be
13 competing uses in the marine -- competing uses of the
14 marine space. The most important one that we've found
15 so far is commercial fishing. That's a really, really
16 big and very, very important issue.

17 Then there's some other issues here that are
18 familiar issues from terrestrial permitting, but it's a
19 different medium. It makes them look a little
20 different. So, obviously, there are marine species that
21 are listed in the marine habitat and you have that
22 dimension of the ocean that's really different. You
23 have species that migrate twice a year from Alaska. The
24 gray whales, for example, to Mexico and back. You have
25 other whale species that migrate all across the Pacific

1 Ocean.

2 It provides some different challenges in
3 addressing the potential effects of a project.

4 Noise is a -- marine hydrokinetics can generate
5 noise in the water. And so, you need to address the way
6 in which noise travels in water, which is very, very
7 different. It travels faster. It's actually measured
8 in reference to a different sound level pressure in the
9 water.

10 And we're just beginning to learn how marine
11 biota perceive noise and what the thresholds of harm
12 might be. So, that's kind of an ongoing issue.

13 Visual resources always is important. It's
14 interesting to hear that offshore wind projects are
15 siting very far out so that they won't be seen. And the
16 difference is here, you have sensitive observers, but
17 they're all on the land and the devices are out in the
18 water.

19 We've heard a lot about solar today and,
20 Commissioner Douglas, you talked about solar, kind of
21 what I'm calling the sol rush or the sun rush.

22 ARRA funding and the Renewable Portfolio
23 Standard really fostered this pulse of solar energy
24 development. Well, what does that have to do with
25 marine energy?

1 There are some interesting similarities. I
2 think with solar in the desert and marine renewables you
3 have a wilderness setting, it's kind of similar in that
4 way. You have public ownership of the resource, by and
5 large, and you have a vast, untapped energy resource.

6 And we've heard -- I'll go through this quickly
7 because we've heard a lot about it today and I think
8 it's very, very important.

9 The public policy initiatives that came forward
10 in response to the sun rush were things like
11 interagency, effective interagency coordination. We had
12 the Renewable Energy Action Team. The Energy Commission
13 and BLM came to an agreement, an MOU, about how to do a
14 combined environmental permitting. And, you know, you
15 had some struggles with that, but it worked out.

16 And you're probably glad that you went through
17 that, rather than everybody, rather than the CEC and the
18 BLM going their own direction that way.

19 Another, long-range planning is another one.
20 The Solar Programmatic EIS looked at the entire
21 southwestern United States. And it was an initiative to
22 identify where solar energy made sense on public land,
23 and where the transmission corridors might be, and where
24 the key exclusion areas might be.

25 I really liked what Mr. Chung said, the way he

1 put it, landscape-level planning, identify areas of
2 opportunity and identify areas of concern.

3 Also, proactive regional environmental analysis
4 with the Desert Renewable Energy Conservation Plan.
5 We've heard about that a few times today.

6 And, you know, really the point is we've got to
7 start now. Those public policy initiatives are
8 effective, they're going to be essential. There's a lot
9 we can learn from the sun rush. And some of this is
10 already going on.

11 For example, I really commend BOEM and FERC. We
12 haven't heard a lot about the FERC process because
13 there's been a lot of talk about offshore wind, and FERC
14 isn't involved in that. That is the exclusive authority
15 of BOEM. But FERC has exclusive authority to permit
16 wave energy projects. Not to lease. And BOEM has the
17 exclusive opportunity to lease. So, you have
18 overlapping jurisdictions. And really, that's where the
19 friction comes in, you have overlapping jurisdictions.

20 And there are places where we have overlapping
21 jurisdictions and we heard a little bit about that. And
22 developing the collaborative process to work through
23 that is absolutely key. And BOEM and FERC did that.
24 They came up with -- before they came up with their
25 agreement on how to permit marine hydrokinetics, if you

1 looked at the regs and you really read them, to do a
2 wave energy project you might have had to do NEPA three
3 times for one project.

4 And they took all of that away. They have a
5 great structure for cooperating. And BOEM does leasing
6 and FERC does permitting.

7 There's been long-range planning. You've
8 probably seen it on the East Coast. To some extent, I
9 mean just developing the wind lease blocks is a form of
10 planning.

11 Oh, and then the regional baseline data
12 gathering, we heard a lot about that. As a permitter,
13 you have to be able to say we know what's out there, so
14 that we can -- the agencies can have confidence that we
15 know what the effect of the project is going to be.

16 And, you know, data standards is really a very
17 important issue. How do you set data standards? The
18 data gathering that's going on is really good, but there
19 are some major gaps. The CDFW, for example, does
20 regular transects, gathering ocean data.

21 And the USGS has been doing the Sea Floor
22 Mapping Project, which is another thing I really want to
23 commend because it's really phenomenal what they're
24 doing. They are mapping the entire territorial sea.
25 And they're doing multi-beam scanning maps. They're

1 doing a sub-bottom profiling. They're developing
2 habitat maps from that. And I think the Ocean
3 Protection Council is funding a lot of that.

4 So, you'll be able to say, yeah, I know what's
5 on the sea floor here. You know, they're even taking
6 videos of what's down there, the ground truth, and
7 posting those.

8 So, to summarize, that's where we should be
9 going, a more collaborative approach to regulatory
10 permitting, get more baseline data. Because, for a
11 particular project, you're not -- you know, a project
12 owner shouldn't be responsible for gathering baseline
13 data for a region. Yeah, for their site, maybe, and the
14 rest is up to the rest of us, I think.

15 And maybe we can move towards long-range
16 planning here, in California. Thanks very much.

17 COMMISSIONER DOUGLAS: Well, thank you. Thanks
18 for your comments and your observations, especially
19 tying back to other -- to themes in the workshop and
20 experiences with the solar projects. Which I do agree
21 we can learn from.

22 And thank you for offering a Haiku, the second
23 Haiku of the day. And we'll see if we get any more on
24 our last panel.

25 Beginning with Chris Shutes, with the California

1 Sportfishing Protection Alliance.

2 MS. RAITT: Actually, Commissioners, we just
3 need a moment for, I think, folks to come up to the
4 table.

5 COMMISSIONER DOUGLAS: Oh, of course. Why don't
6 we take a moment for folks to come up to the table.
7 Sorry, Heather. You know, these important details.

8 I'll just say, generally, as our panelists get
9 settled, we asked a number of stakeholders, from a
10 fairly broad range of perspectives, that we know are
11 very interested in this issue, to provide us not
12 specific reactions to any particular project, for
13 example, but general comments about issues of concern,
14 potential opportunities, potential collaboration. You
15 know, generally, whatever you would like to raise
16 towards the general issue.

17 And with that, if we could start with Chris
18 Shutes, thank you.

19 MR. SHUTES: Hi, thank you very much for the
20 opportunity to speak to you today. I'm Chris Shutes,
21 with the California Sportfishing Protection Alliance.

22 Let's go to the next slide, please. I'll sort
23 of explain who I am with the slides, and some of my
24 background and my interest.

25 CSPA is a nonprofit that was formed in 1983 to

1 represent anglers in regulatory processes. And that's,
2 I think, going to be one of the themes today is that
3 many of the sportfishing folk who will be affected by
4 some of these offshore projects are not particularly
5 interested in or proficient in regulatory processes.
6 And that makes it challenging, especially in light of
7 the fact that this is a new set of issues, without
8 clearly defined regulatory processes, sort of different
9 and overlapping jurisdictions, as one of the folks just
10 mentioned earlier, in the previous panel.

11 And so, it becomes a challenge for those of us
12 who speak on behalf of many of the stakeholders to try
13 to figure out how to crank up and be effective.

14 CSPA is part of the California Hydropower Reform
15 Coalition. And I'm going to talk a little bit about
16 that and how that may have some application. And we are
17 very interested in and active in hydropower relicensing
18 that's regulated by FERC. That's part of the
19 connection, too.

20 The next slide, please. I am the FERC Project's
21 Director for CSPA. I've been doing it since 2006.
22 Prior to that, I was involved as a volunteer, for five
23 years, in hydropower relicensing. I'm the Vice-Chair of
24 the Hydropower Reform Coalition in California. And I'm
25 on the Steering Committee of the National Hydropower

1 Reform Coalition.

2 I'm also a lifelong California fisherman. I
3 have fished oceans fairly extensively. Not as
4 extensively as I'd like to. And I've fished in most of
5 the rivers and streams from Merced north.

6 The next slide, please. So, when we're dealing
7 with hydropower, we're dealing with a mature technology.
8 We're dealing with, basically, things that are pretty
9 well known. We have two different kinds of basic
10 structures to hydropower generation. They're stated up
11 there. And it's a known entity.

12 The next slide, please. Now, in 2006 to 2008,
13 and those dates might not be exactly right, but roughly
14 that's something we saw. We saw a new interest, for
15 those of us working in FERC, in hydrokinetic energy.
16 And this was defined as wave, tidal and ocean current
17 generation.

18 There were a lot of untested technologies. The
19 economics were very unclear. And it was also unclear
20 who would regulate ocean generation. FERC and the
21 Department of Interiors, Minerals and Management
22 Service, sort of had a competition going.

23 And it was hard for us, who were interested in
24 this, also interested in the river part of it because
25 some of the technology was similar, and we work in

1 rivers primarily, to understand sort of how all of this
2 was going to shake out.

3 The next slide, please. Well, what happened was
4 that in a lot of senses the first generation, if you
5 want, of hydrokinetic energy didn't really pan out. We
6 were interested in many of the preliminary permits that
7 were filed for ocean energy projects. A lot of them
8 were filed in -- several of them were filed in Oregon.
9 I think one was filed in California.

10 Preliminary project permits are issued sort of a
11 site banking, on a short-term basis for FERC projects.
12 And that offered us a heads up that something was going
13 on, but it also created a concern, and we didn't really
14 know how -- we didn't really have the capacity or
15 resources to be extensively engaged. But we were
16 concerned that some of the marine resources that we were
17 trying to protect in rivers might be affected when they
18 got to the ocean.

19 In 2009, as some folks have talked about before,
20 DOI and FERC created an MOU and divided up the
21 jurisdictions. It's listed up here. FERC can issue
22 licenses and exemptions for hydrokinetic types of
23 projects that are under 10 megawatts.

24 And so, that's sort of where we come in. And
25 basically, they're proposing to use the integrated

1 licensing process, which is the same as we encounter in
2 hydropower.

3 DOI retains its authority to do leases,
4 easements, rights of way for offshore development. And
5 FERC has, interestingly, jurisdiction in state waters.

6 And one of the decisions they made at that time
7 was that FERC would cease to issue preliminary permits.
8 And I think the rationale there was that the leasing
9 part was devolving to DOI and, in some sense, FERC would
10 be kind of making a quasi-lease, or staking out some
11 territory, if they issued a preliminary permit. So,
12 that part goes away.

13 Sort of the opposite of what I said before or a
14 different way of looking at it, is that now we don't
15 sort of have a heads up in the same way. Whenever
16 something is proposed at FERC, it comes across a docket.
17 We can see it, we get notification. And those of us,
18 who live in that world, have a -- are noticed. That's
19 something that may not happen here in the same way and
20 we're all going to have to get used to finding out sort
21 of what's going on in different fashions.

22 The next slide, please. In 2012, MMS had been
23 superseded by the Bureau of Ocean Energy Management.
24 But the MOU continued. It defined sequencing. First,
25 you have to get a lease and then you can apply for a

1 license.

2 And I should say it's not just a license,
3 there's also, in FERC world, something known as a
4 license exemption, which is something that used to be
5 under 5 megawatts, but I believe the limit is 10, now.
6 We'd have to check that because it's changed recently,
7 in the last couple of years.

8 The non-marine hydrokinetic projects need to
9 file a construction and operation plan with the Bureau
10 of -- with BOEM or with BOEM. And hydro projects have
11 to have both. So, if you have wind and some kind of
12 kinetic generation, wave, you'll have to get a license
13 and comply with the BOEM requirements.

14 And the guidelines also allow limited pilots and
15 test projects without having a FERC project license or
16 exemption issued. So, that's something that's sort of a
17 gray area and that's done on a case-by-case basis. I'm
18 not aware of whether that's happened, but it's something
19 that we may have to deal with.

20 So, moving on to the next slide, one of the
21 things that's really good about FERC is that we have a
22 really clearly defined process. And one of the concerns
23 that I have now, looking at this new ocean energy, the
24 interest in ocean energy, is that it's becoming somewhat
25 more clear for developers, in some regards, than it is

1 for advocates of the public interest. The agencies may
2 be catching up.

3 But for those of us who are working for
4 nonprofits or who have a specific interest in a specific
5 project, it's pretty hard to understand even which
6 entity we're going to be dealing with in terms of
7 regulation, under what auspices we would be
8 collaborating, if we were collaborating with anybody,
9 and what our role would be.

10 FERC tends to define a greater role for agencies
11 than for NGOs and others. And it's been by scraping and
12 scrabbling, and gaining experience, and working in a
13 coalition that's organized, funded and effective that
14 many of us have been able to engage in FERC and kind of
15 put us somewhat close to an equal footing with the
16 agencies.

17 But that is -- when we're starting from scratch
18 in a new process, that's going to be more challenging
19 for us.

20 In addition, there are really clearly defined
21 roles for agencies within the FERC process, for
22 hydropower. The Forest Service and the Bureau of Land
23 Management have mandatory conditioning authority for
24 areas where a project is on their land, and there's an
25 ongoing fight about how far that extends. But at least

1 it's a pretty firm thing. And if the agencies require a
2 condition in order to protect some aspect of the
3 environment or recreation, the FERC has to include that
4 in the project license.

5 It's not so clear that we have anything like
6 that here. And so, the agencies are kind of putting in
7 the position of making up their authorities as they go
8 along. And exactly how they will be able to effect new
9 projects is a lot less clear.

10 The same thing is true with other agencies, like
11 the Department of Fish and Wildlife, that have advisory
12 authorities. They don't have mandatory authorities but,
13 nonetheless, FERC pays pretty close attention to what
14 they say. So, one of the concerns that we have is that
15 we don't have these defined roles.

16 Some of the folks in the earlier panels, and I
17 didn't catch all of them, but I caught quite a few,
18 talked about landscape kind of views. One of the
19 problems for recreational fisherman and fishers, in
20 general, is that they don't have a landscape point of
21 view. They have a very limit point of view and in terms
22 of geography. It's not cohesive. And they won't have
23 any kind of institutional memory or regulatory
24 experience coming into these kinds of processes, as they
25 develop, as new projects are proposed and permitted.

1 The next slide, please. So, when we're dealing
2 with hydropower, we're talking about impacts to aquatic
3 species, function, recreation that have been observed
4 for a century, and that we've studied intensively for
5 the last 25 years. And there's basically a suite of
6 studies. It's not exactly the same in every one, but
7 there are accepted types of studies and subject matters
8 that are included in FERC licensing. It's not exactly
9 like Mr. Phelps, and his cast of characters that he
10 flips through and goes, okay, well, we're going to
11 choose this guy, and this guy, and this guy, but it's
12 pretty defined.

13 For offshore energy, we don't even know what the
14 projects are going to look like or what the technology
15 is. Now, many of us in hydropower understand how the
16 system works. We understand how it all fits together
17 from energy, to water, to grid, to the river, all those
18 different things. When you work on it for a long time,
19 you get to understand the system pretty well.

20 But we don't have that kind of legacy in these
21 new technologies. And we don't even know what studies
22 we want to propose in order to evaluate impacts.

23 The next slide, please. And one of the
24 disadvantages of going last is that people have already
25 talked about a lot of the things that I could mention

1 here. There are some pretty obvious impacts. Many
2 folks, and to their credit, have already talked about
3 many of them, and anticipated them.

4 I think one that's important to highlight is the
5 fragmentation of accessible areas for recreational and
6 commercial fishing. Not all fishermen are wild about
7 the marine protected areas. There's a lot of
8 disagreement about whether it's a good thing or not.

9 And one of the concerns, frankly, is that you
10 need to know with a GPS, or something, where you are and
11 whether you can fish there. Access, and as a correlator
12 to that, navigation are restricted. And it's becoming
13 more and more complicated to simply go out in the ocean
14 and go fishing.

15 Another point that I think it's important to
16 talk about, and I'm sure my colleague from PCFFA will
17 discuss this a little, is that we're already dealing
18 with fishing industry that's weakened. And that's
19 really gone downhill in the last few years. That's true
20 of recreational fishing, too.

21 The next slide, please. So, again, there's a
22 number of impacts we know about. What I hear from my
23 colleagues in Washington, who followed this pretty
24 extensively in the earlier period, is that noise is
25 really a concern and vibration of machinery.

1 It's not always the obvious things that are
2 going to be a problem. And when we're dealing with
3 something new, we just don't know what we're going to be
4 looking for. And there's a big concern that by the time
5 we figure it out, it will be too late. And how you can
6 go back and undo, or get a redo is pretty hard to
7 understand.

8 The next slide, please. Visual quality is also
9 something that is obviously a concern. I'm kind of
10 heartened to hear that a lot of the developers are
11 looking at areas that are quite far offshore. I think
12 that will help with a lot of things. I don't know,
13 there may be unintended impacts of that. But from
14 recreational fishing's point of view, I think that will
15 probably help.

16 The next slide, please. So, I was impressed by
17 the woman from the Morro Bay Project, who talked about
18 optimizing her project, and I think there's a lot of
19 good things to be learned from that.

20 One of the problems, though, is how many
21 projects can you optimize? If it's you're the first
22 person or entity that's sort of doing this, that's one
23 thing.

24 One of the documents that I reviewed, earlier,
25 suggest that there might be as many as 6,500 different

1 sites or projects that may be developed off the
2 California Coast. It gets harder to optimize. Just
3 like with hydropower, boy, some of them got the really
4 good, choice spots. And now, people are scrambling
5 around, looking for little things that have a marginal
6 benefit. It gets harder to optimize once you have a lot
7 of development.

8 One of the things FERC really isn't very good at
9 is addressing cumulative impacts. And dealing with the
10 landscape kind of view, in a regulatory process is not
11 always an easy thing to do. So, there is a concern that
12 I would have that if projects are licensed or permitted
13 sort of one by one, FERC at least has the propensity to
14 look at just that one project and say, we don't want to
15 look at the rest. That's not our concern right now.

16 And it's left to NEPA or CEQA to deal with that.
17 But in terms of a strict regulatory process and defined
18 criteria for evaluating those things, that isn't really
19 part of the picture as a general rule.

20 And looking at this from the perspective of a
21 fisherman going out and trying to figure out where he's
22 going to be able to go, and what the impacts are going
23 to be as time goes by, and how to respond to different
24 proposals, that's going to be a real challenge.

25 The last slide. So, the ocean energy is a new

1 technology and the impacts aren't that well understood.
2 It's news to me that there's this great interest in
3 offshore wind. That isn't something we'd heard of much
4 before. And partly, that's my bias from living in the
5 world of FERC and FERC wouldn't regulate that.

6 But partly, it's because things are changing.
7 And as they change, we may find that both the regulatory
8 processes may have to change and that first generation
9 technology may have impacts that we really haven't
10 thought about. So, addressing that kind of thing is
11 really important, particularly in a time when
12 opportunities and resources available to fishing, and
13 people who fish, have become more and more challenged.

14 Thanks very much.

15 COMMISSIONER DOUGLAS: Well, thanks for your
16 comments. Thanks for being here. And I do want to give
17 you at least some small amount of reassurance that the
18 purpose of this workshop is to get ahead of the curve,
19 so to speak. And so, I hope that we will all have an
20 opportunity to do that and do that collaboratively.

21 So, the next speaker on this panel is John
22 Mellor, with Pacific Coast Federation of Fishermen's
23 Associations. Thank you for being here. I know it
24 wasn't easy to get here for you, and I understand that a
25 lot of your members who might have come are out fishing.

1 So, thanks for being here.

2 MR. MELLOR: Yeah, thank you very much. Yeah, I
3 literally got in from crab fishing night before last.
4 And I had a -- as soon as I got in phone range I had a
5 text message asking me to come and talk, so here I am.

6 It will be extremely short. Obviously, I didn't
7 have time to really prepare anything except for stuff
8 that I just had in my mind.

9 And I did get a crash course in the finer points
10 of overlapping agencies. And I was trying to follow it
11 all and I think I sort of got it.

12 Just quickly, I just want to say there's, you
13 know, fishing communities in every major port on the
14 West Coast. And, you know, every community, which also
15 includes not just fishermen, but processors,
16 wholesalers, restaurants, fish markets, the people who
17 eat fish throughout the country and the world.

18 Each fishing community has its own specific
19 cultural identity. You know, there's people that have
20 been doing it for two, three generations, families and
21 that sort of thing. And each fishing port has its
22 traditional fishing grounds and places that they rely on
23 in order to be able to make a living.

24 And, you know, we've had over the years lots and
25 lots of closures that have sort of been put on top of us

1 that make it very difficult. Because, really, for
2 fishing to be sustainable, there has to be kind of a
3 diffusion of effort. You can't just force everybody
4 into one area and expect it to be viable for them.

5 So, you know, we have various kinds of closures.
6 There's the marine protected areas, which are fixed in
7 perpetuity. They're there forever, I guess. And, you
8 know, they were voted by the public, they want it, and
9 so we understand that.

10 And then there's also the Rock Fish Conservation
11 Area, which was a result of the ground fish disaster.
12 And that goes from -- it's the fathom curve, but it goes
13 from 30 fathoms out to 150 fathoms. So, you know,
14 there's certain types of fishing you can't do there.
15 And there's certain types that you can. However, we're
16 required to have a vessel monitoring system, you know,
17 basically a satellite that shows where we're at all the
18 time, if we want to transfer through these areas.

19 And so, it's all very complex. And, you know,
20 you get used to it and you learn how to deal with it and
21 do what you have to do.

22 But I mean, just quickly looking at some of
23 these shapes on these maps, where they want to put all
24 these big rigs and that sort of thing, you know, to us
25 that just represents more closed areas. Because, I

1 mean, it's hard to really imagine us being able to fish
2 around those rigs because, you know, a lot of our gear
3 is bottom contact or various up-and-down in the water
4 column.

5 So, if they put like a 100-square-mile area
6 below the Monterey Bay Marine Sanctuary, you know,
7 that's going to have a heavy impact on the coastal
8 communities that depend on that area. Like, even though
9 it's what has been called further offshore, I mean
10 that's still on the continental shelf. And so, there's
11 various fisheries going right out to the edge, where it
12 drops off into the abyss.

13 And, you know, a real important one is the Sable
14 Fish Fishery, which is -- we have to fish outside 150
15 fathoms, but it goes all the way to 500 fathoms. So, I
16 mean, there's no way that we can fish around those rigs,
17 in those fisheries. Because like, you know, for example
18 I fish long lines for sable fish. I have permits for
19 that. And, you know, one of our sets is about three or
20 four miles long. And, you know, we fish around the
21 clock. We fish at night in the dark.

22 And, I mean, you can sort of know where those
23 things are. But I mean, if you snag one of them, you
24 have the potential to lose eight or ten thousand dollars
25 just in the blink of an eye. So, obviously, we couldn't

1 fish there, even if it was open. So, you know, I guess
2 we're really, really concerned about that. That, you
3 know, one more layer of closure, it just reaches the
4 point of absurdity for us. And, you know, we're really
5 struggling.

6 But then we also -- you know, we're walking a
7 fine line because the effects of carbon emissions and
8 that sort of thing have a huge effect on us, you know,
9 in terms of ocean acidification, which I just read a
10 paper where they did a study that it affects the larvae
11 of crabs, and the survivability of the larvae of crabs.
12 And, you know, Dungeness Crabs is the only fishery that
13 really is keeping everybody going on the whole coast.
14 It's the most important fishery on the coast.

15 And, you know, we know that we just had this big
16 disaster with Domoic acid, which basically took away
17 about half of my yearly income this year. And that's
18 also an effect -- I'm pretty sure it's an effect of
19 climate change and carbon emissions, as well. You know,
20 just the severity of it.

21 So, I mean we understand all these issues. But
22 the reality of more closed areas would have a more
23 immediate effect, I think, and be very hard for us to
24 support.

25 And, you know, another thing that occurred to me

1 in looking into those wind turbines is, you know, we've
2 done a lot of work to try to mitigate sea bird mortality
3 with our long line fishery. I did some collaborative
4 research to try and prevent catching albatross and that
5 sort of thing. And, you know, it's voluntary.

6 But, you know, basically we were told that if
7 three of this one species of albatross, called short-
8 tailed albatross were taken, then the entire West Coast
9 ground fishery, the whole fishery would be shut down.
10 It would trigger an automatic shutdown. So, I can't
11 imagine. And, you know, the albatross are cruising up
12 and down, out in that depth range. You know, anywhere
13 from 10 or 15 miles, all the way out to Hawaii,
14 basically. So, how are they going to prevent these
15 things from killing a few short-tailed albatross and
16 what would be the ramifications of that?

17 Yeah, I mean, I think that's pretty much it.
18 I'm just trying to wrap my head around all this and --

19 COMMISSIONER HOCHSCHILD: If I could speak to
20 that. I just want to, first of all, thank both of you
21 gentlemen for coming here and sharing your perspective.
22 I'm a fisherman myself. I grew up fishing. I do deep
23 sea fishing every year with my daughters. And,
24 actually, last time they both caught salmon and I did
25 not, which they have not let me forget.

1 (Laughter)

2 COMMISSIONER HOCHSCHILD: But I will just say,
3 you know, I think if there's one thing that all the
4 stakeholders here can take away is just an appreciation
5 of just how multi-dimensional this challenge and this
6 subject is. We're dealing with, you know, Navy roots,
7 we're dealing with Coast Guard, we're dealing with
8 tribal issues, and concerns about fisheries.

9 But I would just say, at a high level, you know,
10 in general the trend in energy generation in California
11 is moving from high impact to lower impact. And, you
12 know, the biggest impact that I can see on the fisheries
13 have been the effect of large hydro. And you look at
14 some of the very recent successes in the Pacific
15 Northwest, where some dams are being removed. I think
16 that's clearly a good thing.

17 I think to the extent we have more non-large
18 hydro renewable resources available, it will help. And
19 I guess, you know, my hope going forward is that all of
20 us can participate in good faith and have a real honest
21 and comprehensive discussion where the goal is really
22 shed more light, than heat, on the issue. And really
23 understand, precisely, the impacts.

24 Because every form of energy generation does
25 have impacts, but there are gradations. And that's what

1 we're going to be getting into as we dig deeper into
2 this.

3 COMMISSIONER DOUGLAS: So, I just -- I have a
4 follow-up question. And, you know, I really appreciate
5 your comments on just seeing the impacts of climate
6 change, and those are economic impacts, too. And yet,
7 there are people trying to make a living and they're
8 carrying on cultures and traditions. And it's how do we
9 make this sustainable.

10 And I wanted to ask, because you made a number
11 of comments about -- that I just wanted to make sure
12 that I understood. Because I interpreted what you said
13 as saying that in shallower water there are more
14 concerns, it's more likely to interfere with fisheries
15 compared to, say, some of the floating turbines that
16 might be in deeper water.

17 But I wanted to make sure that maybe I wasn't
18 taking that away right. Like, if you're talking about
19 something that's 15 miles offshore and it's, you know,
20 deep.

21 MR. MELLOR: Yeah.

22 COMMISSIONER DOUGLAS: As opposed to closer to
23 shore. Can you give me a sense or is it really location
24 specific?

25 MR. MELLOR: Well, it is location specific.

1 Well, it's fishery specific. So, I mean, in the
2 summertime I make most of my money offshore. I fish for
3 sable fish pretty much all summer. And that, like I
4 said, is off -- they call it the slope. So, the shelf
5 is out to 150 fathoms, and then the slope drops down to
6 400 or 500 fathoms. Which is, you know, roughly 20 to
7 30 miles offshore. I mean, that's my whole summer
8 business is that.

9 So, I mean, and there are very few viable
10 fisheries left. I mean it used to be, when I started
11 fishing, 37 years ago, I mean all you had to have was a
12 \$50 State Fish and Game Permit and you could do pretty
13 much anything.

14 And now it's, you know, yeah, I mean there's
15 just very few species that we can rely on. Which, of
16 course, is very troubling because if those things don't
17 pan out, we basically starve to death.

18 But yeah, I mean the shallower water fisheries
19 are more like salmon fishing, or crab fishing, which
20 would also be affected by these if, you know, we
21 couldn't fish around them for whatever reason.

22 But I think, you know, I think the fishing
23 community realizes that this is going to happen and we
24 are going to have to deal with it. But I think it's
25 important that we're involved, you know, in the nuts and

1 bolts of just how the designs of these things are going
2 to work. And figuring out how we can, you know,
3 mitigate the results as far as us, and that kind of
4 thing.

5 And it was the same thing with the MPAs. You
6 know, I was on the regional stakeholder group to design
7 those. And, you know, it's hard to take time away from
8 working and go to these meetings and stuff. And, you
9 know, we don't get paid for it. It's like everybody
10 else gets paid but us, basically, and we do it on our
11 own dime. But, I mean, gosh, if I wasn't there who
12 knows what areas they would have closed, and what effect
13 it would have had. So, you have to do it on a case-by-
14 case basis. And you have to do it on a port-by-port
15 basis because I couldn't really speak for fishermen down
16 in Morro Bay, I've never fished down there.

17 But, you know, I know the Gulf of Farallons,
18 maybe not as well as Frank knows his mile, but I know it
19 pretty well. And so, you know, I would like to be
20 involved with that.

21 COMMISSIONER DOUGLAS: Well, thank you. And
22 thanks again. I know that it was, as I said, not easy
23 for you to get here and we really appreciate you being
24 here.

25 MR. MELLOR: Thank you.

1 COMMISSIONER DOUGLAS: Let's go to Jennifer
2 Savage, with Surfrider Foundation.

3 MS. SAVAGE: Hi. I'm the California Policy
4 Manager of the Surfrider Foundation. And thanks,
5 Commissioners, for having us here today.

6 I wanted to echo your appreciation for my fellow
7 stakeholders, especially the folks who make their living
8 on the water, because they're a relatively small group
9 of people and it's definitely hard to get here. So, I
10 want to say that.

11 Also, yes, dam removal, good thing. I live up
12 on the North Coast, so live and breathe that issue.

13 Also, as somebody who lives up on the North
14 Coast and has worked quite a bit with the tribes on
15 ocean issues, it was great to hear the discussion around
16 the tribal issues. And I would just encourage you to
17 really try to ensure that tribal representatives are a
18 part of the conversation. I know you are and I'm just
19 saying that that's a really good thing and I would hope
20 it continues.

21 So, for us, for Surfrider, one of our main
22 priorities is coastal preservation. So we, of course,
23 are very interested in the impacts of climate change and
24 sea level rise from that. And so, we recognize the
25 potential for renewable energy to have great impact in

1 offsetting and reducing greenhouse gases.

2 So, we really strive to support projects that
3 are clean, and low impact, and beneficial to our
4 environment.

5 However, while we all would like to see a magic
6 bullet, we know that they are very rare, indeed. And,
7 you know, I was up in Humboldt for the PG&E Wave Connect
8 Project, and chairing the Surfrider chapter up there at
9 the time. We had representatives on the stakeholder
10 group. So, I've heard a lot of concerns over the years.
11 I've heard many of them echoed again here, today.

12 And I was also involved in the MLPA process and
13 many of the same stakeholder groups. So, you know,
14 there's a lot happening out there on the ocean which, of
15 course, you realize once you start convening these kinds
16 of workshops.

17 And I will go ahead and just briefly enumerate
18 some of the concerns, you know, with Surfrider, when we
19 are judging a project, that we go through in response to
20 what our members care about.

21 And I should note that Surfrider has 20 chapters
22 in California and a large, and vocal, and active
23 grassroots community.

24 So, we look at the impacts to the environment.
25 We look at impacts to public safety. We want to ensure

1 that there's adequate baseline data. We also are very
2 big on monitoring. You know, I think that that is a
3 component that you don't hear enough about is there's
4 all this work done on the front end, but what's the
5 safeguards as far as making sure that the impacts, that
6 we may or may not have predicted, are being captured.

7 You know, we also, of course, look at ocean
8 recreational opportunities. In most of these cases,
9 that I've seen, the different projects most likely won't
10 have an impact on the waves as they come in. But there
11 is a redistribution on the wave energy. And so, while a
12 singular project or a singular proposal might not have a
13 profound impact, the cumulative effect could be more
14 than we think. And keeping those things in mind, as
15 well.

16 We obviously have a lot of members who like to
17 surf. And if you tell them that their waves are going
18 to be reduced or go away, they are a limited resource.
19 And with sea level rise, that's going to change
20 dramatically, as well. So, it is a significant concern
21 with our recreational enthusiasts.

22 We also do care, we have a lot of members that
23 fish, and we are very concerned about the impact it
24 might have on our fisherman.

25 And we encourage, you know, proceeding with

1 caution. We know that there's a long history of
2 projects on our coastline that, after the fact, turn out
3 to not have been good ideas. Not to keep invoking my
4 Humboldt lifestyle but, you know, we have the nuclear
5 power plant that we've been decommissioning. We have
6 new desal plants going up that are costing the taxpayers
7 a lot of money and are not energy efficient.

8 And again, a clean, low-impact, renewable source
9 of energy would be a great thing. But we really ask
10 that we proceed with all due caution.

11 And that includes having meaningful community
12 input and a lot of transparency in how the decision
13 making is made.

14 So, a quick list of things we would like to see
15 is to continue to involve stakeholders in the
16 conversations. This has been a great workshop. It's
17 been fantastic to hear all the different agencies talk
18 about the regulations, all the different project
19 proponents talk about their projects, to really get a
20 sense of all the moving pieces that are involved in
21 going forward with this offshore renewable energy.

22 And so, having that continue and having it
23 continue in a way that's easy for, I would say, real
24 people, not just policy wonks, and agency folks, and
25 people who do this sort of thing for a living. But to

1 have workshops where the language is clear, the language
2 is accessible, they're held during times that working
3 people can get to them. So that the information, which
4 is incredibly complex, is able to be conveyed in a way
5 that the average person, who's working 40, 50 hours a
6 week, and trying to make dinner for their kids, can come
7 to a one-hour meeting and at least get a fundamental
8 grasp of what is being proposed, and have the chance to
9 have their voice heard. That's really important to us.

10 And that's -- that pretty much sums up -- I was
11 trying to be quick there, so I think that sums up all of
12 our immediate concerns and historical perspective.

13 COMMISSIONER HOCHSCHILD: Thank you. I
14 apologize, I have to -- I have a 4:30 meeting. But
15 thank you for your comments.

16 COMMISSIONER DOUGLAS: All right. Well, yeah,
17 thank you for your comments. And I also want to say
18 that I am -- I'm really impressed with both the
19 participation and the speakers that we've gotten, but
20 also the fact that so many people -- while we've had
21 some late-in-the-day attrition, and that's why I wanted
22 to speak now and not hold this comment until later
23 because, you know, we may lose a few more, even in the
24 next 10, 15 minutes. But it's been very clear to me
25 that this has been the sort of workshop where people

1 have come as much to hear and listen to each other, as
2 to, you know, say their 15 minutes and run to the next
3 thing. And, of course, sometimes we have to do that
4 because we're so overbooked. But I have seen and
5 appreciated that. And we've got a lot of people still
6 in the room for 4:30.

7 Which is 15 minutes after our agenda said we
8 would finish, but we knew that we weren't going to
9 finish at 4:15, we just didn't quite know. I think we
10 will finish by 5:00. Even with public comment, that is
11 what I think will happen.

12 But I will have to ask our last two speakers to
13 not skip important things, but try to be brief and not
14 repeat.

15 So, we've got Garry George on WebEx and
16 Elizabeth Murdock in the room. And Garry, if it's all
17 right with you, I'll go to Elizabeth and then we'll
18 shift to WebEx, and then we'll go to public comment.

19 MR. GEORGE: Sure.

20 COMMISSIONER DOUGLAS: Thank you, Garry.

21 MS. MURDOCK: Sure, thank you, Commissioner,
22 too. And thank you, Garry.

23 My name's Elizabeth Murdock. I'm the Director
24 of the Pacific Ocean Initiative, at the Natural
25 Resources Defense Council. And I'm honored to be able

1 to participate in this workshop today and thank you very
2 much for the opportunity.

3 I would also like to commend the California
4 Energy Commission for coordinating this workshop at this
5 particular time, because we're just beginning to look
6 more seriously at the prospect of developing renewable
7 energy off the California Coast.

8 Accurately assessing the benefits, challenges
9 and impacts of offshore renewable energy development is
10 essential to ensuring the long-term protection of our
11 marine resources, from marine wildlife, to fragile ocean
12 ecosystems, to the human communities that depend upon
13 them.

14 It's important to take the time to identify and
15 understand these processes that are needed to ensure
16 that offshore renewables are developed in the most
17 environmentally responsible manner.

18 And it will also be important to identify, as
19 people have noted already today, what we do not know,
20 and determine how to obtain the best scientific
21 information to inform site selection, project scale,
22 project design and mitigation strategies.

23 NRDC supports the development of offshore wind
24 because of its environmental and economic benefits. We
25 see the availability of offshore wind as key to

1 facilitating our country's move away from fossil fuels,
2 which have caused and continue to cause devastating
3 damage to the environment.

4 We also strongly believe that offshore wind can
5 and should be developed in an environmentally
6 responsible manner that protects vulnerable species and
7 ocean habitats.

8 Because development of offshore renewable energy
9 is new to the West Coast, many of us are just beginning
10 to examine the issues associated with this development,
11 from responsible siting, to potential impacts to
12 wildlife habitats and recreational and commercial
13 fishing.

14 On the East Coast, NRDC has been actively
15 engaged in the emergence of offshore wind energy. We've
16 been strong advocates for responsible development, as
17 well as for federal policies to promote responsible
18 siting and minimize impacts.

19 In California, NRDC has also been deeply engaged
20 both in advancing California's Renewable Portfolio
21 Standards, and in responsible development inside of
22 terrestrial wind energy.

23 So today, I was hoping to highlight some of the
24 ways NRDC has worked to promote responsible wind
25 development in the Atlantic Ocean, and then share with

1 us some of our policy priorities and lessons learned
2 from our work, in the hopes of informing the process
3 here, in California.

4 So, first to the East Coast. NRDC has played a
5 leading role there in helping to shape federal policies
6 to promote responsible wind energy development. On the
7 East Coast, BOEM facilitated a stakeholder process to
8 identify and designate wind energy areas that were smart
9 from the start. A process that evaluated areas in the
10 ocean where wind energy was viable against other
11 factors, such avoiding sensitive ocean habitats,
12 avoiding conflicts with shipping lanes, fishing areas,
13 and DOD restricted areas.

14 Once a wind area energy has been designated,
15 BOEM holds auctions for the right to develop and
16 offshore project within these areas. Prior to leasing,
17 BOEM prepared environmental assessments. Lessees then
18 produced a site assessment plan, which BOEM has to
19 approve. Then, subsequently, it conducts site
20 assessments, develops construction and operations plan,
21 which BOEM must also approve. And then, ultimately,
22 lessees can submit a final proposal to BOEM, which the
23 agency can either approve, modify or deny.

24 This process has allowed the public to be
25 involved, both from the broader assessment of where it's

1 appropriate to consider developing wind energy, as well
2 as in response to specific proposed projects.

3 And I also want to just note here, really
4 quickly, that the MidAtlantic and Massachusetts Wind
5 Energy Area processes, in those initial environmental
6 assessments were regional and focused just on site
7 assessment and characterization. And they went for an
8 EA, because it was a little more streamlined. Others
9 here can probably speak in more depth to that.

10 And additional environmental review will then be
11 required prior to construction and operation. So, those
12 things were bifurcated.

13 NRDC has advocated that BOEM develop
14 standardized best management practices and mitigation
15 for these wind energy areas, including extensive
16 communication and consultation during WEA
17 identification, project design, and site
18 characterization and site assessment activities.

19 We have also advocated for mandatory lease terms
20 that require specific protections for species, like the
21 critically endangered North Atlantic White Whale, such
22 as seasonal prohibitions that can cause acoustic
23 disturbances, vessel speed restrictions to reduce the
24 likelihood of a ship strike.

25 In addition to exclusion zones, mandatory

1 observers and aerial surveys at limited times of the
2 year.

3 We've also completed agreements with some wind
4 developers to secure additional, voluntary mitigations
5 to protect endangered whales.

6 And finally, while our work thus far has focused
7 on mitigating impacts from the site assessment and
8 characterization of offshore wind development, we have
9 begun a conversation with the East Coast development
10 community about construction and operations.

11 The work that NRDC and other environmental
12 organizations have done on the East Coast has been
13 integral to promoting smart siting and minimizing
14 impacts from wind energy development.

15 As we consider the possibility of developing
16 wind and other offshore renewables in California, NRDC
17 offers the following recommendation.

18 First, renewable energy will always have some
19 types of environmental impacts. In the ocean, these can
20 include acoustic disturbances that might injury, or
21 temporally or permanently interfere with marine mammal's
22 ability to communicate or process sound. It can also
23 affect other marine life, such as sea turtles and fish.

24 Acoustic disturbances that displace marine
25 mammals, shifting them to areas where they're at higher

1 risk of ship strike or predation. Bird and bat
2 mortality, due to collision with wind turbines, vessels
3 strikes that can kill or injure marine mammals,
4 potential impacts from cables associated with turbines,
5 and impacts to ocean ecosystems, important habitats and
6 sensitive marine life. Including, significant
7 geological features, fragile reefs and ancient corals.

8 For these reasons, sound siting of any wind
9 energy project is paramount. Siting decisions must be
10 made based on best available scientific information
11 about the wildlife and environmental resources present,
12 and the best strategies to avoid and then mitigate
13 impacts.

14 Second, conducting comprehensive environmental
15 review of any proposed project is critically important
16 so that we have a strong understand of what the
17 environmental impacts may be.

18 Environmental review should examine a full range
19 of potential impacts, including potential harm to marine
20 mammals, sea turtles, fish, birds and bats.

21 Agencies should also adopt appropriate
22 mitigation measures, where necessary, to avoid threats
23 to vulnerable species, including mandatory lease
24 conditions to protect sensitive species.

25 Third, the process of developing offshore

1 renewables should be guided, to the greatest extent
2 possible, by a holistic, science-based process that
3 identifies areas of high environmental importance and/or
4 sensitivity, as well as areas of potential conflict.

5 In an ideal world, this holistic landscape
6 level, science-based would happen first, rather than
7 developing renewables in reaction to specific, proposed
8 projects.

9 NRDC has been deeply involved in regional ocean
10 planning efforts on the East Coast, which seeks to
11 collect and integrate broad data to help inform ocean
12 management. At its best, regional ocean planning can
13 also provide comprehensive, science-based information to
14 help identify which areas are appropriate for industrial
15 activities, such as offshore wind energy, and which are
16 not.

17 And just a brief side note, and I can tell you
18 more about this offline, but the Commission may also be
19 interested to note that the State of Rhode Island
20 implemented its own targeted planning process to assess
21 where offshore wind would or would not make sense, by
22 creating a Special Area Management Plan under the
23 state's CZMA.

24 And through this process, they look not only at
25 state waters, but also at federal waters, and ultimately

1 were able to obtain federal approval for their State
2 Area Management Plan.

3 So, this was a very public process and was
4 driven by the state, which might provide an interesting
5 model for California to consider, because there's the
6 state water/federal water issue.

7 Back to this issue of holistic science-based
8 planning, however. On the West Coast, regional ocean
9 planning efforts are only in the earliest stages, so
10 this process will not be able to inform some of the
11 first generation offshore wind project proposals that
12 are under consideration today.

13 However, we still believe this planning process
14 should be done and it can inform later wind development
15 processes as they unfold on the West Coast.

16 Above all, in the absence of a comprehensive
17 science-based ocean planning effort, conducting
18 scientific monitoring, data collection and evaluation is
19 crucial.

20 Four, ensure early and ongoing input from
21 stakeholders. Because a lack of early public input can
22 result in significant investments, as we try to resolve
23 conflicts later in the process.

24 Fifth, ensure the quality and consistency of
25 environmental reviews. It's important that the NEPA

1 process encompass strong, data-based evaluation of
2 impact, including analysis of cumulative impacts. So
3 NEPA analysis, again, should include that full range of
4 alternatives, including proposed project, no-action
5 alternative sites, reducing sizing configuration of the
6 project, or alternatives that might even include phasing
7 the project based on successfully meeting benchmarks
8 before proceeding.

9 Sixth, establish strong monitoring processes
10 that can identify impacts and enable ongoing
11 improvements in project design and development. This
12 should also include post-construction monitoring, so
13 that we can have a better understanding of actual
14 impacts during assessment, construction and operations.
15 And have the opportunity to manage adaptively in order
16 to reduce future and/or ongoing impacts.

17 In summary, we commend the CEC for beginning
18 this process now, of identifying what processes, data,
19 and other information that will be required to support
20 responsible development of offshore wind, and other
21 renewable energy along the California Coast.

22 While it's still early days for offshore
23 renewables on the West Coast, it's not too early to be
24 asking these questions.

25 Most importantly, we urge the Commission to

1 leverage its role in the future development of offshore
2 renewables to ensure that California promotes
3 comprehensive, science-based processes that can identify
4 and protect our most precious marine life and habitat,
5 and thus ensure the development of offshore renewables
6 is a net benefit for the State and for the oceans.

7 Thanks again for the opportunity to comment.

8 COMMISSIONER DOUGLAS: Thank you for your
9 comments. We'll go to our last speaker, Garry George,
10 with Audubon. I think he's going to talk about birds.

11 MR. GEORGE: That's right. Thank you. And
12 thank you -- I don't know if Commissioner Hochschild has
13 left, but thank you, Commissioner Douglas for convening
14 this workshop and for keeping California in the vanguard
15 of renewable energy planning and low-conflict areas,
16 thank you.

17 I know I'm standing between all of you and the
18 question and answer period, as well as happy hour, so
19 I'll be very, very brief.

20 (Laughter)

21 MR. GEORGE: And I've prepared a short
22 presentation of only eight slides, so you'll be happy to
23 know about that.

24 I'm the Renewable Energy Director for Audubon
25 California. We're the State program of the National

1 Audubon Society, with 48 chapters and over 100,000
2 members and supporters in California.

3 We're stakeholders in the DRECP, in the San
4 Joaquin Solar Siting, and also we have been stakeholders
5 on the PG&E Wave Connect pilot, on the Central Coast, a
6 few years ago. All of these, with our chapters giving
7 us plenty of input on the ground.

8 And we've worked on issues of wind and solar
9 conflicts with birds in California, since 2003.

10 The next slide, please. So, here's how the
11 offshore renewable energy planning intersects with
12 Audubon. We have, as you know, in September 2014 we
13 released Climate Science, some models that showed that
14 of the 500 and something species that were modeled, 317
15 of them would suffer serious declines in their breeding
16 or wintering habitat from the effects of climate change,
17 unless we reduced emissions as soon as possible.

18 That's the most important interest for us to is
19 transform our energy and, actually, our marine
20 transportation system in order to reduce the impacts of
21 climate change on our birds.

22 We also have a Pacific Flyaway Seabird Program.
23 And these birds often travel through California, on
24 their way from Alaska to places as far as South America.
25 So, these aren't our birds. These are birds, as Noah,

1 from Fish and Wildlife Service mentioned earlier, are
2 actually part of treaties that we share with other
3 countries. We have this international partnership
4 program with South American conservation organizations
5 and Central American conservation organizations.

6 We have an Important Bird Areas Program with the
7 national -- the North American partner, for Bird Life
8 International, that identifies bird areas of highest
9 conservation interest. And we have a new Marine IBA
10 Initiative.

11 We also have 12 Audubon Coastal Chapters that
12 are some of our biggest chapters and that are very, very
13 interested in offshore renewable energy issues.

14 And, of course, we have the program which I
15 lead, with a team of scientists and conservation folk,
16 who focus on renewable energy here, in California, and
17 also some in the west.

18 The next slide, please. The scope of the
19 conservation that we're thinking about, when we think
20 about renewable energy offshore, is that we have 216 new
21 marine important bird areas throughout the Pacific
22 Flyaway. These are those important areas for
23 conservation of birds. It's 150 species of birds in the
24 Pacific Flyaway. And more than 33 million seabirds.

25 If anybody asks you what the most common bird in

1 California is, you could say, actually, it's the
2 Shearwater. And big, huge rafts of loons and sea ducks
3 move in great numbers offshore and far offshore. So,
4 these are some of the species of conservation concern.
5 We have two federally seabirds, the Short-tailed
6 Albatross and California Leaf Tern.

7 Over the taxonomic groups of species, seabirds
8 are one of the most threatened, with 27 percent of the
9 species currently listed as species of special concern.

10 The marine ecosystem complexities, for these
11 seabirds fish matter. So, if you're looking at areas to
12 develop, you have to also look at the fish, as well as
13 the birds.

14 Also, the offshore rocks and islands where the
15 seabirds breed are critical, as you know.

16 The next slide, please. These are some of the
17 marine important bird areas that Audubon and our
18 partners have identified in California, all the way from
19 Humboldt Bay, as you can see, all the way down through
20 the islands and the San Francisco Bay. So, there's all
21 of these are marine important bird areas for us, and
22 areas of concern for conservation of birds.

23 The next slide, please. You also know about the
24 Marine Life Protection act. I think you've heard about
25 that earlier, so here's some of those marine protected

1 areas that are along the coast.

2 The next slide, please. Our concerns are with
3 seabird collision with turbines, disruption of the
4 migratory patterns of these seabirds, disruption of
5 their foraging habitat. Again, the fish. And also
6 disruption of their protected areas from not only the
7 turbines, perhaps the turbines, but also the
8 transmission lines in the ocean. And as they come out
9 of the ocean and on to the shore for shorebirds. Also,
10 the disruption of the forage fish, as I mentioned. The
11 impacts on seabirds and shorebirds for the
12 infrastructure as it comes onto the coast and is
13 transmitted to the energy centers.

14 The monitoring technologies are not quite
15 developed, yet, for this offshore energy, both wave and
16 wind. And also, the precedence that we're setting, as
17 we move forward for pre-construction studies of analysis
18 as well as monitoring regimes.

19 The next slide, please. Here's some quick
20 recommendations from Audubon. When you think about
21 areas for development, for offshore renewable energy, is
22 to approach it as an ecosystem that includes the
23 fisheries and other human uses of the marine system, so
24 it's comprehensive. Those comments of April 23rd, 2014,
25 by the Pacific Fishery Management Council to BOEM, and

1 here's the docket number, in Oregon, they made
2 recommendations on special marine planning for offshore
3 areas to identify zones for offshore energy.

4 We also support a process, like the San Joaquin
5 Solar siting process, to identify the areas of least
6 conflict offshore, in a programmatic way, rather than
7 project by project.

8 We also think that BOEM might conduct another
9 PACC assessment. The assessment that's currently being
10 used is from Fort Bragg north, through Oregon. And we
11 need another assessment south, in California, especially
12 through the area of the proposed wind projects.

13 BOEM has already done this with the help of NOAA
14 and USGS, and so we suggest that that be done again.
15 The protocols are there, they could follow them, they're
16 standardized.

17 The next slide. Here's some additional
18 resources for thinking about offshore renewable energy,
19 both wave and wind, that may be good resources to look
20 at. We've looked at these, ourselves.

21 And most importantly, the next slide, is the
22 PACC assessment that BOEM did from Fort Bragg north, in
23 2011 and 2012. Our National Director of Bird
24 Conservation was actually one of the scientists that is
25 the author of that. So, we would recommend actually

1 doing that assessment before we go much further with
2 permitting.

3 And that's it.

4 COMMISSIONER DOUGLAS: All right, Garry, thank
5 you very much. Really appreciate your comments and your
6 work, as well as many others through a lot of the
7 renewable energy policy debates in California.

8 I have one blue card. We're now to public
9 comment. I have a card from Erica Brand, with the
10 Nature Conservancy.

11 If anyone else would like to make a public
12 comment, you are welcome to please grab a blue card and
13 fill it out. If you can't find one, just stand up and
14 start walking towards the podium and we will notice.

15 Erica, go ahead.

16 MS. BRAND: Thank you, Commissioner Douglas, for
17 holding today's workshop. My name is Erica Brand. I'm
18 the California Energy Program Director for the Nature
19 Conservancy.

20 So, I want to emphasize three key points in what
21 will, hopefully, be brief remarks.

22 The first is that California continues to make
23 real progress on ways to protect natural resources,
24 while moving to a clean energy future.

25 The second is that landscape scale, science-

1 based spatial planning has been an important approach on
2 land to aggregate data, catalyze stakeholder
3 collaboration and support good siting decisions of
4 renewable energy.

5 And third, the Nature Conservancy is supportive
6 of expanding this approach to the marine environments to
7 ensure that offshore renewable energy development is
8 done in a smart way, and sited to avoid and minimize
9 impacts to ocean resources, and the communities that
10 depend on them.

11 The first point in making real progress on ways
12 to protect natural resources, while moving to a clean
13 energy future, I think some of the key planning
14 processes have been discussed today. The Desert
15 Renewable Energy Conservation Plan and the solar in the
16 San Joaquin Valley planning that Garry mentioned.

17 And to expand on that second point, some of the
18 things from the San Joaquin solar planning that I think
19 are important to consider in the marine environment are
20 really the robust stakeholder collaboration that was
21 part of that process, and bringing in folks from
22 different industries to be part of that discussion, and
23 identification of least conflict lands.

24 With the rise in renewable energy interest, how
25 and when do we take that regional, least conflict

1 approach offshore.

2 So, as I mentioned in the third point, we're
3 supportive of a marine spatial planning process and we
4 think that stakeholder collaboration is essential, given
5 the multiple uses in the ocean that you heard today.
6 Uses that move depending on the resources. So,
7 different fisheries, crab, squid.

8 And my colleagues, that work in our Ocean
9 Program, often mention to me that we're seeing that
10 climate dynamics are already shifting those resource
11 patterns.

12 So, there's offshore data that can be pulled
13 together, now. We've heard about multiple sources
14 today. And I'll add that our Ocean Team has done
15 extensive marine spatial planning work in Central
16 California, where much of the interest in marine
17 renewable energy is touching down.

18 So in closing, we think that proactive spatial
19 planning is needed. Offshore renewable energy
20 applications are hitting stakeholders piecemeal, like we
21 saw with solar back a few years ago. And many of the
22 stakeholders are not prepared, nor aware of the best
23 avenues to make their interests heard in the myriad of
24 permitting processes.

25 And so, given CEC's leadership in convening and

1 catalyzing planning processes for renewable energy, we
2 recommend that the 2016 Integrated Energy Policy Report
3 consider marine spatial planning as a recommendation.

4 Thank you.

5 COMMISSIONER DOUGLAS: Thank you for your
6 comments. Thanks for being here.

7 Is there anyone else in the room who'd like to
8 either fill out a blue card, or stand up and walk
9 towards the podium? Going once -- oh, please.

10 MR. HANSEN: Hi, my name is John Hansen. I'm
11 the Coordinator for the West Coast Regional Planning
12 Body.

13 My comment is simply just to say that the
14 Regional Planning body for the West Coast exists. Some
15 points were made earlier about the National Ocean Policy
16 at the federal level. The West Coast RPB, as it's
17 called, is meant to help implement that by using
18 partnership building between federal agencies, the three
19 West Coast States and tribal governments.

20 I'm happy to talk more with folks that might be
21 interested in that. But marine renewables is a key
22 issue that's come up for the West Coast Region. And
23 it's a very new group. We've just had a charter
24 finished and we're getting signatories from federal
25 agencies, along with West Coast States, and tribes. And

1 so, this is something that we're looking to interface,
2 if there is a link. As you heard, there are many layers
3 and efforts around this. So, the RPB is not meant to
4 get in the way of that. But if there is ways to enhance
5 that and use the national policy to enhance that
6 approach, the RPB is there to do that. So, just wanted
7 to mention that's out there.

8 The East Coast is working on this and working on
9 it, and the West Coast is just getting started. But
10 we're excited to see these developments in California,
11 and see where we can help. Thank you.

12 COMMISSIONER DOUGLAS: Great, thank you. Thanks
13 for making comment.

14 At this point, let's turn to the phone lines and
15 WebEx. Heather, do you want to take it from here?

16 MS. RAITT: Sure, we're go ahead and open up the
17 phone lines. So, if you're on the phone and wanted to
18 make comments, this will be your opportunity.

19 And if there's no one there, I think we're done
20 with public comments.

21 COMMISSIONER DOUGLAS: All right. Well, I want
22 to thank everyone, again, for your participation, for a
23 really great, not just one way, but multi-way dialogue
24 that we've had the opportunity to have today.

25 Certainly, here at the Energy Commission, we

1 look forward to working with all of you and more, as
2 this issue moves forward. As I said before, we pulled
3 this workshop together in order to give everyone an
4 opportunity to get ahead of the curve, and start some
5 early dialogue.

6 And there is, as was discussed earlier, there is
7 a project proposed and there's also, in the way of
8 context, a research facility proposed.

9 So, we certainly see that this is an industry
10 that is developing, and moving towards
11 commercialization, and moving towards at least the
12 potential to play a role in California.

13 And at the same time, I suppose this is where I
14 say that we have a pretty competitive market. And we
15 have policies that, as one earlier speaker mentioned, we
16 have policies that, you know, as we look at what we've
17 procured already to go 33 percent, and what it will take
18 to go to 50 percent and higher renewables, you know,
19 we're going to have to, ourselves, grapple with how we
20 get to those numbers.

21 And then we've got a market. And there's the
22 question of procurement.

23 So, I don't think that it's a done deal that
24 offshore wind or wave energy is going to play an
25 important role in the California market. But I think

1 that it could. And I think that it has some attributes
2 that position it well if it could get, you know, as many
3 speakers have said, down the cost curve, and address
4 some of the both permitting, and environmental, and
5 stakeholder unknowns.

6 And one of the ways that we may be able to help,
7 I mean we can't take the cost curve down. That, as has
8 been said, is industry's job, you know, for the most
9 part, with some research support, and so on, from DOE
10 and others.

11 But we certainly can help facilitate discussion
12 and help begin the discussion about -- you know, between
13 permitting agencies and with stakeholders about how do
14 we go forward, eyes wide open, and collaboratively to
15 put ourselves in the best possible position to get real
16 benefits from this technology should it develop in a way
17 that it proves to be competitive.

18 And, you know, it has attributes and it has
19 challenges, like everything else.

20 And so, just with that I want to thank everyone
21 again. I really appreciate your participation and look
22 forward to working with you, going forward.

23 (Thereupon, the Workshop was adjourned at
24 4:57 p.m.)


25 --oOo--

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 6th day of June, 2016.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of June, 2016.

A handwritten signature in cursive script, appearing to read "Barbara Little", is written over a horizontal line.

Barbara Little
Certified Transcriber
AAERT No. CET**D-520