

DOCKETED

Docket Number:	16-IEPR-05
Project Title:	Electricity Demand Forecast
TN #:	212279
Document Title:	Transcript of 06/23/2016 IEPR Commissioner Workshop
Description:	IEPR COMMISSIONER WORKSHOP ON METHODOLOGICAL IMPROVEMENTS TO THE ENERGY DEMAND FORECAST FOR 2017 AND BEYOND
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/13/2016 2:43:27 PM
Docketed Date:	7/13/2016

BEFORE THE
CALIFORNIA NATURAL RESOURCES AGENCY
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 16-IEPR-05
)
2016 Integrated Energy Policy)
Report (2016 IEPR Update))

**IEPR COMMISSIONER WORKSHOP ON METHODOLOGICAL
IMPROVEMENTS TO THE ENERGY DEMAND FORECAST
FOR 2017 AND BEYOND**

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, JUNE 23, 2016
10:00 A.M.

Reported By:
Kent Odell

CALIFORNIA REPORTING, LLC
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

APPEARANCES

Commissioners

Chair Robert B. Weisenmiller, Energy Commission

Commissioner Karen Douglas, Energy Commission

Commissioner Andrew McAllister, Energy Commission

CEC Staff

Heather Raitt, Project Manager, IEPR

Presenters/Panel Members Present

Cary Garcia, Energy Commission Staff

Asish Gautam, Energy Commission Staff

Melanie McCutchan, Pacific Gas and Electric

Ben Sigrin, National Renewable Energy Laboratory

Erin Boedecker, U.S. Energy Information Agency
(via WebEx)

Chris Kavalec, Energy Commission Staff

Jeff Billinton, California Independent System Operator

Hongyan Shen, Southern California Edison

Alan Sanstad, Energy Commission Expert Panel

Bob Emmert, California Independent System Operator

Ken Schiermeyer, San Diego Gas & Electric

Sam Ray

Khala, NRDC

INDEX

	Page
Opening Comments	
Chair Robert B. Weisenmiller, Energy Commission	6
Commissioner Karen Douglas, Energy Commission	6
Commissioner Andrew McAllister, Energy Commission	
Introduction	
Cary Garcia, Energy Commission Staff	8
Behind-the-Meter Photovoltaic Adoption and Impacts	
Forecasting Photovoltaic Adoption: Data Needs and Potential Changes in Modeling	
Asish Gautam, Energy Commission Staff	9
Forecasting Photovoltaic Adoption at PG&E	
Melanie McCutchan, Pacific Gas and Electric	31
Methods of Forecasting Photovoltaic Adoption	
Ben Sigrin, National Renewable Energy Laboratory	56
EIA Perspective on Photovoltaic Adoption	
Erin Boedecker, U.S. Energy Information Agency	76
Other Stakeholder Response and Comments	94
Weather Normalization for Peak Forecasts	
Developing Agreed-Upon Estimates of Weather-Normalized Peaks	
Chris Kavalec, Energy Commission Staff	94
Stakeholder Response and Comments	104
Lunch	110

INDEX

	Page
Analysis of Potential Shifts in Peak Hour Caused by Demand Modifiers	
Need for Analysis of Peak Shift for Resource Planning - Jeff Billinton, California Independent System Operator	110
Preliminary Energy Commission Staff Analysis Cary Garcia, Energy Commission Staff	119
SCE Analysis of Peak Hour Shift Hongyan Shen, Southern California Edison	131
Other Stakeholder Response and Comments	140
Long-Term Forecasting of Hourly Loads	
Energy Commission Modeling Chris Kavalec, Energy Commission Staff	140
Expert Panel Perspective Alan Sanstad, Energy Commission Expert Panel	148
California ISO Perspective Bob Emmert, California Independent System Operator	166
SDG&E Hourly Load Forecasting Ken Schiermeyer, San Diego Gas & Electric	182
Other Stakeholder Response and Comments	189
Geographic Disaggregation of IEPR Demand Forecast for Transmission and Distribution Planning	189
Developing Optimal Levels of Disaggregation Chris Kavalec, Energy Commission Staff	189
Stakeholder Response and Comments	193
Public Comments	193
Adjournment	198
Reporter's Certificate	199
Transcriber's Certificate	200

P R O C E E D I N G S

1
2 JUNE 23, 2016

10:00 A.M.

3 MS. RAITT: Welcome to today's Commissioner
4 Workshop on Methodological Improvements -- that's a
5 mouthful -- related to the Energy Demand Forecast for
6 2017 and Beyond. This workshop is part of the 2016
7 Integrated Energy Policy Report Update process.

8 And I'm Heather Raitt, the Project Manager for
9 the IEPR.

10 Quickly, I'll go over some housekeeping items.
11 Restrooms are in the atrium. There's a snack bar on the
12 second floor. If there's an emergency and we need to
13 evacuate the building, please follow staff to Roosevelt
14 Park, which is across the street, diagonal to the
15 building.

16 Please be aware that today's workshop is being
17 broadcast through our WebEx conferencing system and it
18 is being recorded. We'll post an audio recording in a
19 few days and a written transcript in about a month.

20 I wanted to thank our presenters for being here
21 today and ask that you do stick to the time allotted for
22 your speaking. And I will remind us of our limitations
23 in time as we go along for the day.

24 At the end of the day we will take public
25 comment and request the comments be limited to three

1 minutes per person. There are blue cards at the
2 entrance. You can go ahead and give them to me, if you
3 wanted to make comments at the end of the day.

4 And for WebEx participants, just use our chat
5 function to let us know that you'd like to make
6 comments.

7 If you haven't already, please sign in at the
8 entrance. And written comments are welcome, and they're
9 due July 7th. And the notice for this workshop, which
10 is posted online, along with the presentations and other
11 materials, provides instructions for submitting written
12 comments.

13 So, Commissioner Douglas.

14 COMMISSIONER DOUGLAS: All right, thank you.
15 Well, I just want to welcome everybody to this workshop.
16 And I think I will actually defer to the Chair for
17 substantive opening comments.

18 CHAIR WEISENMILLER: I really want to thank
19 everyone again for being here today.

20 Obviously, one of the Energy Commission's key
21 roles in State policy is the demand forecast. And I
22 think over the decades one of our really leading areas,
23 areas leading the country is demand forecasting in a way
24 that incorporates the policy initiatives of California.
25 And, certainly, with both SB 350 last year, and 802, we

1 have to step up our game in this area.

2 And this is one of the foundational ones. We
3 want to look a lot at methodological issues. And some
4 of the areas that we've teed up, or know from the last
5 time we have to do better on.

6 Having said that, once we get into July, there's
7 going to be a couple more workshops that are more
8 focused on the doubling down on energy efficiency.

9 And again, looking at Heather, I don't think
10 either or both of those are noticed, yet. But anyway,
11 just to give people a preview of coming attractions,
12 we're going to again try to really drill down on sort of
13 how do we incorporate doubling down on energy
14 efficiency.

15 And then, more at the end of the month, and
16 these are sort of joint activities, first with President
17 Picker, Steve Berberich and I. And then the other one
18 is also with the PUC Commission, particularly
19 Commissioner McAllister and Commissioner Peterman on
20 what are our goals as we try to translate 802 and 350
21 into specific actions.

22 So, anyway, I'm sure there's even more than
23 that, but at least that's sort of the sequence. This
24 one and then the two next month.

25 So, again, thanks for being here today. I think

1 this is a topic which you can tell we're putting a high
2 priority on, particularly in terms of the 802 and 350
3 implementation, and this is part of an overall
4 comprehensive program.

5 Commissioner McAllister is, obviously, very
6 heavily involved in this. He's asked me to have us
7 start without him, but I'm sure he'll be here real soon.
8 So, with that --

9 MS. RAITT: Great. The first speaker is Cary
10 Garcia, from the Energy Commission.

11 MR. GARCIA: All right, good morning. So, I
12 think I'm just going to -- we have plenty of
13 presentations on here, so we should probably just start
14 rolling through this.

15 We'll just do a quick overview of what we're
16 going to cover today in our agenda. So, first up we'll
17 have our behind-the-meter photovoltaic adoption and
18 impacts presentations. We have PG&E, as well as NREL,
19 and the EIA here to present on their methodologies or
20 their take on forecasting PV adoption.

21 And then, next, we'll go into weather
22 normalization with Chris Kavalec.

23 After lunch, we're going to head into the
24 analysis of peak shift. We have representatives from
25 the ISO here, as well as Southern California Edison.

1 And then after that, we'll head into long-term
2 forecasting of hourly loads. We have our expert panel
3 here, Alan Sanstad. And we also have another guest from
4 ISO, Bob Emmert, and a representative from San Diego Gas
5 & Electric.

6 At the very end, or lastly I guess, we'll go
7 over a geographic disaggregation, once again with Chris
8 Kavalec.

9 So, we'll get started with Mr. Asish Gautam.

10 MR. GAUTAM: Good morning, everyone. My name is
11 Asish Gautam and I'll be going over some data issues and
12 updates we want to do to help forecast PV adoption.
13 These updates and changes were motivated based on
14 stakeholder comments we received as part of the 2015
15 IEPR. The IEPR demand forecast is used in other
16 proceedings, outside the Energy Commission. And so, the
17 rapid increase in behind-the-meter PV has implications
18 for the demand forecast.

19 As Cary mentioned earlier, one of the impacts
20 we're all looking at is the possibility of a shift in
21 the system peak due to continued adoption of PV.

22 Let's see, so first I want to start off to talk
23 about how we've reorganized our database for quantifying
24 the number of projects in the State. This is kind of
25 the starting point to develop the forecast.

1 So, historically, we've relied on data from
2 rebate programs, such as the California Solar
3 Initiative, the New Solar Homes Partnership, and the
4 Solar Generation Rebate Program. And the reason for
5 relying on data from a rebate program had to do with,
6 you know, they were easy to access. They were updated
7 fairly frequently.

8 And in the case of the California Solar
9 Initiative, they collected and published a wealth of
10 data. And so, it was more convenient for us to work
11 with the rebate program data.

12 And as long as there's funding and participation
13 through these programs, the data from rebate programs
14 can be a reliable indicator of installations in the
15 State.

16 However, after the 2013 IEPR we became aware of
17 a discrepancy between the CSI rebate data and what the
18 IOUs were showing through their interconnection data.
19 You can see I have a table here that shows the
20 discrepancy for 2012 and 2013. And you can see by 2013,
21 the discrepancy becomes very large. We're missing
22 almost half, more than half the data for San Diego,
23 about 40 percent for PG&E, and about 12 percent for San
24 Diego. So, this was something that we had to address
25 quickly.

1 And so for the 2015 IEPR, we took a proactive
2 approach and requested interconnection data through our
3 forms' instructions.

4 Another development that happened here was the
5 PUC issued a decision directing the IOUs to publish
6 their NEM PV interconnection data. And this is what we
7 are using currently, going forward for the IOUs. We
8 have used it for the presentation later today on the
9 peak shift and we are also going to use that for the
10 2016 IEPR update.

11 So, even though we have a source to get timely
12 interconnection data for the IOUs, we're still going to
13 issue an interconnection data request for the 2017 IEPR.
14 And this has to do with some issues we discovered with
15 the larger POUs.

16 Just kind of a way of background, when SB 1, or
17 Senate Bill 1 was passed back in 2006, this was the
18 legislation that created the CSI program. And it also
19 asked the POUs to also offer a similar type of program
20 for their customers, and that they would report on their
21 rebate activity to the Energy Commission.

22 And when we issued the data request for the 2015
23 IEPR, we thought we'd take a look at what these POUs are
24 reporting to us through their interconnection data, and
25 what they're also reporting to us via their SB 1

1 reporting requirements.

2 And we discovered that, just like with the IOUs,
3 there are some large differences between interconnection
4 data and the rebate program data. And we've followed up
5 with a few of these POUs to get a sense of why this is
6 happening.

7 And just like in the case with the IOUs, you
8 know, rebate levels are stepping down. There's a lot
9 more installations going on. Costs have come down. And
10 so, there's installations happening, but not going
11 through a rebate program.

12 There's a table here to show how large the
13 discrepancy is here. Obviously, the installation, the
14 kilowatts installed are not as large as what we had for
15 the IOUs, but the discrepancy's pretty significant. And
16 if you're trying to estimate behind-the-meter generation
17 at the statewide level, we have to get a handle on these
18 discrepancies. And that's why we want to continue to
19 request PV interconnection data for the 2017 IEPR.

20 So, this slide, again I was trying to show why
21 it's very important to continue collecting the
22 interconnection data. There's a lot going on here, but
23 let's try to take it one step at a time here.

24 So, the green curve there goes with the vertical
25 axis on the left. This is from the PUC/IOU/NEM

1 interconnection data. It's current until 2015. Again,
2 we have about 4,500 megawatts of PV installed as of
3 2015.

4 The blue and the red curve go with the vertical
5 axis on the right. And the units there is a dollar per
6 watt. The sources for these two comes from LBNL's
7 "Tracking the Sun" report. The blue curve shows the
8 trend in the median installed cost over time. And the
9 red shows the trend in the module cost.

10 We're just trying to show that, you know, the
11 increase in PV adoption over time is related to
12 decreases in system cost. But there's also strong
13 policy support at the state and federal level for PV.

14 And in the green text box there, put a few
15 programs and legislation that have -- that I wanted to
16 kind of highlight, that have had a big impact on PV
17 adoption.

18 So, we start with the Energy Commission's
19 Emerging Renewables Program back in '98. And then a few
20 years after, the PUCs Self-Generation Program. And
21 then, you can see the installations are trending up, but
22 it's not until SB 1 passes in 2006 that it gives a shot
23 in the arm to the industry, and installations take off.
24 And, you know, the costs were still coming down.

25 And then in 2009, we had the Federal Recovery

1 Bill. It had a number of provisions for clean energy.
2 One that I wanted to point out was that it removed the
3 cap on the tax credit for residential systems, which was
4 a big driver to promote residential systems after that.

5 The two bills on the right, AB 327 and the
6 extension of tax credit, and it's too early to see the
7 impacts of these new legislation. But I wanted to just
8 put it there because there was a lot of concern last
9 year about what would happen to the tax credit, would it
10 get extended or not. And, you know, the credit was
11 extended towards the tail end of 2015.

12 Obviously, that's going to keep the momentum
13 going. So again, there's a big need to have, to collect
14 interconnection data so you can kind of capture all
15 these impacts.

16 And then, AB 327 has three components that, you
17 know, they're still kind of being worked out. But
18 they're going to have significant impact on adoption.

19 So, the first one is the reform of residential
20 retail rates, the old tier flagging. And then, it also
21 calls for a possible move to time of use rates, I
22 believe by 2020. Those issues are still being --

23 CHAIR WEISENMILLER: I don't think President
24 Picker would agree with the word "possible".

25 MR. GAUTAM: Yes. Yes, so there's a big focus

1 to get to default time of use rates by 2018 or 2020 time
2 frame.

3 And then the second part, which is pretty
4 important, is the development of the NEM Successor
5 Tariff. And that's a key thing because as of right now
6 I believe SDG&E's very close to meeting their limit and
7 PG&E's not too far behind. Edison has some room to go.

8 The third component of AB 327 is the development
9 of the distributed resource plans. And, basically, it's
10 asking the utilities to play for and accommodate more
11 distributed energy resources in their planning.

12 So, now, the State has a number of goals for
13 clean energy. And if you don't have the data to track
14 how you're meeting your goals or how your process is,
15 you know, you can't figure out what's going on. And so,
16 this is very important to have timely and accurate
17 access to interconnection data.

18 The other takeaway I wanted to kind of mention
19 was that it took about 12 years to get to the first
20 gigawatt of installation and the next gigawatt only took
21 two years. And then, the third gigawatt only took one
22 year. And I've looked at the most recent
23 interconnection data, as current until the first part of
24 2016, and if you take what's already been installed and
25 assume that the rest of 2016 follows, you know, the

1 average additions of the last three years, then 2016 is
2 going to shape out to be another year of at least a
3 gigawatt of additions. And that will get you to about
4 4,500 megawatts of PV.

5 I've been tracking and compiling this data since
6 2008. And I remember the original CSI goals of having
7 3,000 megawatts of behind-the-meter PV installed by
8 2016. Back then it seemed like a lofty goal. But, you
9 know, here we are and we've kind of blown past that goal
10 by a wide margin. And so, I just thought I'd point that
11 out.

12 CHAIR WEISENMILLER: Before you leave that
13 chart, are the data points January 1, July 1 or December
14 31st when it refers to, say, 2015?

15 MR. GAUTAM: This is just for the whole year.

16 CHAIR WEISENMILLER: Okay, so it would be
17 December 31st of 2015?

18 MR. GAUTAM: Yeah.

19 CHAIR WEISENMILLER: Okay.

20 MR. GAUTAM. So, earlier we talked about the
21 need to have data behind the installations and that
22 gives us the installed capacity. To account for the
23 impacts on the demand forecast we have to translate that
24 installed capacity to energy and peak impacts. And to
25 do that we need PV production profiles.

1 In prior IEPRs we've relied on static shapes,
2 whether we've got them from the rebate, CSI, EMV
3 studies. Earlier IEPRs we used the shapes from the New
4 Solar Homes Calculator. It's, I believe, very similar
5 to the PV Watch Tool.

6 There were a few things going on that caused us
7 to kind of question the shapes that we had been using.
8 First, we're always thinking about how to disaggregate
9 the demand forecast further, and so we've expanded our
10 forecast zones from 16 to 20. So, with new zones, we
11 need new PV shapes to reflect the change in geography.

12 And when we were engaged in the -- in our
13 analysis of the peak shift, when we overlaid our load
14 data we could see patterns that were obviously related
15 to weather, but the static PV shapes were not really --
16 kind of confounding things.

17 So, what we wanted to do was to find PV shapes
18 that kind of went with the load data and the weather,
19 and the behind data. So, one of the challenges is
20 getting access to this data.

21 So, we reached out to the IOUs for assistance.
22 And it turned out, as of right now, PG&E and Edison
23 don't have a low reach of sampling for metering
24 generation profiles from their customers.

25 SDG&E, on the other hand, has been metering

1 customers and it's a sample of about 500 customers that
2 shared their data with us. We are using their
3 generation profile and we did use it for the peak shift
4 analysis later on.

5 And we've also received the production profiles
6 from SMUD. So, that still leaves us in the dark about
7 what to do about PG&E and Edison.

8 And, fortunately, it turned out that as part of
9 the PUC's EM&V study of the CSI Program, they hired a
10 contractor, Itron, to install separate meters to
11 quantify generation from about 500 systems, starting in
12 2010. This data was available publicly, I believe late
13 last year. And so, you know, now we have a source of
14 actual production data for PG&E and Edison.

15 Even though this Itron data plugs a pretty large
16 data gap for us, there are issues with it. Their
17 systems were installed in the early part of the CSI, so
18 there's some kind of vintaging effect going there. The
19 more significant issue is that this production data is
20 only going to be collected until 2016. And I believe
21 that has to do with issues on how the EM&V budget was
22 set up. But this is kind of unfortunate, but at least
23 for the time being we have some kind of -- and there's a
24 frequency pull-out by county for PG&E and Edison, by the
25 number of systems.

1 You know, you can see some counties have less
2 than 10 or 5 systems, so there is a question just how
3 much we can generalized from this source. But for the
4 time being, this is the best source that we have
5 identified for meter data. We are planning on using
6 this for the time being.

7 And, let's see, last week, at the Commission
8 Business meeting, we had approval for a contract to
9 update our end-use load shapes, and there is a carve out
10 in that contract for improved PV shapes. And it also
11 will look at other forms of DG technologies, too, so
12 it's not just linked to PV. But it's going to take some
13 time for that work to get completed and the data to kind
14 of flow back to us.

15 Now, I want to switch gears a little bit and
16 talk about changes we want to make to how we forecast
17 PV. First, to give a little background on how we
18 actually do the forecast. Essentially, we have usage
19 data organized by the different climate zones, forecast
20 zones. The source for these datasets, for that data
21 comes from our Residential Survey, outputs from our
22 forecast models, and load shape data from the IOUs.

23 Essentially, we have the usage data, we overlay
24 the PV generation data and go through a series of bill
25 savings calculations. In prior IEPRs we used average

1 sector rates. But as of the 2015 IEPR, we've moved to
2 using actual retail rates. And so, we're trying to
3 account for the effect of the higher tiers. We also
4 account for the net metering calculation.

5 And then, there's a stream of payments that we
6 factor, such as the initial outlay of the system cost,
7 any tax credits and rebates. Which there is a little
8 bit of rebates around for some of the POUs, but at least
9 for the IOUs it's been exhausted.

10 And our proposal for the 2017 IEPR is to move
11 away from just a single average customer and try to add
12 more customer profiles. And the profiles would be
13 classified by their annual usage, so kind of the low-,
14 medium- and high-usage customers.

15 You know, it's difficult to try to represent an
16 entire forecast zone with just one profile. So, we're
17 hoping that by adding more profiles we'll improve how we
18 capture adoption from the different customer groups.

19 And here's a table showing the number of
20 profiles we have right now and what we hope to move to.
21 The profiles, again, are a function of the number of
22 climate zones, and for each climate zone we have two
23 usage types.

24 So, one is for homes with electric space
25 heating, gas heating. The reason we want to control for

1 that is, again, since we're using actual retail rates
2 there, you have to factor in your baseline allowance,
3 which is a function of season and type of space heating
4 you have. So, we just wanted to control for that.

5 Again, the more disaggregation we have for the
6 forecast, then our data needs go up correspondingly. We
7 will need more profiles to capture even smaller areas.

8 So, other changes we want to make. Right now,
9 we're still assuming that the systems are host-owned.
10 But the common form of ownership right now is to lease
11 the system. And we understand in the future that may
12 turn to loans just because of how system costs are
13 coming down. So, we also want to have the ability to
14 model loans, as well.

15 We used the payback period as the metric to
16 estimate adoption. The payback period that we calculate
17 from the bill savings analysis, that I mentioned
18 earlier, is an input to our market share curve and then
19 we apply a classic Bass diffusion curve to trace out the
20 adoption over time.

21 And we've had some conversations with utility
22 staff about using payback period. And, you know, when
23 you have leases that have no money down and, basically,
24 you're saving on your utility bill from day one, maybe
25 payback is not the right metric to use. There are other

1 metrics that we're thinking of using. There's bill
2 savings. And then, in general, I think we have
3 agreement with the utilities that we need more research
4 in this area.

5 That's one of the reasons why we asked Ben
6 Sigrin to come by for his presentation. They've done a
7 lot of work in looking at how customers base their
8 adoption decisions. He's done some surveys in San Diego
9 County, looking at how customers respond to the decision
10 to adopt PV, based on different metrics.

11 So, we're hoping to collaborate with them and
12 see what we can take away from their approach and
13 incorporate into our framework.

14 So, we talked about PV in the residential
15 sector, but there are other updates that we are planning
16 to do for the 2017 IEPR. Similar to our desire to have
17 more meter-based production profiles for PV, we'd like
18 to have metered production profiles from non-PV
19 technologies.

20 We're trying to update an NDA with the PUC to
21 receive production data from their self-generation relay
22 program. This would give us shapes for CHP, fuel cells,
23 energy storage. And I may have left off a few other
24 technologies there.

25 We're also looking to update our commercial

1 sector building load shape data. Right now, we're using
2 data from our older CEUS Survey. One of the reasons we
3 wanted to do this update is that the CEUS was kind of --
4 was done a long time ago and so there was a need to do
5 an update.

6 And we also wanted to look at energy storage.
7 And one of the use cases for the storage for
8 nonresidential customers is savings on the demand
9 charges. And, you know, demand charges are based on 50-
10 minute maximum bid in the course of a month. And since
11 we only have hourly shape, that kind of prevents us from
12 looking at this one. And that's one of the reasons to
13 adapt storage.

14 So, we are requesting sub-hourly load shape
15 data. We've had conversations with the three IOUs and
16 SMUD. So far, we're still trying to come to an
17 agreement on our request. Once we settle that, we'll
18 make the changes to the form's instructions and make the
19 data request.

20 The third point here, we'd like to have a more
21 flexible and modular framework for conducting the
22 forecast. You know, there's a number of things on the
23 horizon that will make forecasting DG in the longer term
24 very, very challenging. There's issues about zero net
25 energy homes, their rollout of time-of-use rates, and

1 even within that how these time-of-use periods will look
2 like.

3 We normally think of a peak to be between noon
4 to 6:00. But, you know, there are proposals that may
5 look at 4:00 p.m. to 9:00 p.m., and maybe not worry so
6 much about the summer as more on the shoulder months.
7 Even overlaying that, you know, your NIM compensation
8 may have a time-of-use component, as well.

9 So, there are a lot of these issues that we'd
10 like to be able to handle and run sensitivity type runs
11 on it. So, that's another area that we're involved in.

12 Longer term, we have a new CEUS survey out. And
13 as I mentioned earlier, about the load shape contract.
14 Once data starts coming from there, we'd like to
15 integrate those results into our approach.

16 Earlier, we talked about how important it is to
17 collect interconnection data and have access to good
18 production profiles for the different DG technologies.
19 The Commission is involved in revamping their data
20 collection rulemaking. DG will be a component of that.

21 There's a lot of things in motion, so I'm not
22 going to go too much into it. But I believe there will
23 be a workshop later this summer on this, so I just want
24 to kind of leave that out there.

25 And we're also thinking about -- we have a

1 proposal to try to get NREL on board, to collaborate
2 with them and get their expertise in modeling DG
3 adoption.

4 This is it for my presentation, so I'll take any
5 questions.

6 CHAIR WEISENMILLER: Yeah, I actually have a
7 lot. I decided to hold off.

8 MR. GAUTAM: Okay.

9 CHAIR WEISENMILLER: You may want to just flip
10 back. Because one of the things whether interrupt you
11 slide by slide, or let you get to the end. I ultimately
12 decided to wait until the end.

13 MR. GAUTAM: All right.

14 CHAIR WEISENMILLER: The first thing is do you
15 have a good -- and let me start out by saying I think
16 you've done a marvelous job here. You know, I think one
17 of the things that really emerged last year as a big
18 issue was photovoltaic growth. You know, and it really
19 was having, starting to have a really perceptible
20 impact.

21 MR. GAUTAM: Yeah.

22 CHAIR WEISENMILLER: And so, as we drill down
23 and try to get out in front of the changes on the
24 forecast.

25 So, the first question is do you have a - you go

1 back and forth about photovoltaics and residential. So,
2 again, how important is the residential market relative
3 to commercial and industrial, and how well is our
4 forecast focused on across-the-board?

5 MR. GAUTAM: Well, in terms of additions, we see
6 more adoption in the residential sector but --

7 CHAIR WEISENMILLER: By number or megawatts?

8 MR. GAUTAM: By number. But by megawatts --

9 CHAIR WEISENMILLER: Of energy, yeah.

10 MR. GAUTAM: I think, if I have it right, the
11 nonres sec is still pretty substantial by capacity. I
12 believe the split is something like 60/40 residential.
13 So, even by number of installations you have less
14 systems from the nonres. But they do have larger
15 systems, so they do --

16 CHAIR WEISENMILLER: Yeah, I'm just assuming, if
17 you did some sort of cumulative frequency distribution,
18 you know, the 10-megawatt or whatever CSI programs, if
19 they swamp a lot of the lot residential in terms of
20 impacts. So, I want to make sure that, you know, again,
21 as we go through trying to do the model development we
22 don't lose sight of where the money is. You know, where
23 the big impacts are.

24 MR. GAUTAM: Yeah.

25 CHAIR WEISENMILLER: Another observation or

1 question was, you know, you talk a lot about the IOUs.
2 Certainly, this has got to be a big issue for the POUs.
3 You talk a lot about SMUD, but under the 350 and the IRP
4 legislation, you know, we're responsible to work with
5 POUs above a certain size in the IRP context. And these
6 issues are certainly IRP context type of issues.

7 And so, we need to figure out a way to engage
8 more broadly with the POUs. And I'm sure the trade
9 associations, NCPA and CMUA would be happy to talk to
10 us. But certainly, again, we have a statutory
11 responsibility to deal with POUs above a certain size.
12 And so, we need to really be engaging with all of them
13 in that bucket as we go forward on these discussions.

14 And part of my reason for really pushing that is
15 that, you know, one of your questions on how to struggle
16 with rate design -- and again, Picker and I both channel
17 each other pretty effectively. But, you know, the
18 bottom line is the PUC is going to time-of-use rates.
19 And, you know, that's certainly where the next bounce on
20 net metering goes and will interact with that.

21 But, you know, as you try to do your
22 forecasting, there is a natural laboratory where,
23 obviously, SMUD's there already. And as you start
24 thinking about rate differences, you know, POUs have
25 different rates. Certainly, commercial/industrial

1 customers have unbundled rates, again different levels.
2 So, there is a natural laboratory, as you think about
3 the rate impacts, to look across different customer
4 classes for particular IOUs, and to cross-compare the
5 IOUs and POUs.

6 And, you know, it's probably incredibly
7 complicated to even think about. But in terms of trying
8 to make some sense out of the impacts of higher or lower
9 rates, or different rate designs, you know, the good or
10 bad news is that there is a laboratory within the State
11 already running those experiments that you should be
12 able to -- if you can get the data, you know, you should
13 be able to make some progress getting out in front of
14 those issues.

15 MR. GAUTAM: Okay.

16 CHAIR WEISENMILLER: Okay, the other observation
17 is that in terms of the -- you talk a lot about --
18 again, on a forecasting connection to, you know, the
19 cost effectiveness of the least types of stuff.

20 And I was going to point you to, Severin's done
21 a lot of analysis. You're probably well aware of it.
22 And I was at a power conference two years ago, and it
23 was a panel, whatever, and they asked me to basically
24 react to the papers. But, you know, and certainly
25 they -- he dug in pretty deeply into the question of

1 where's the PV gone, how do you unbundle that by census
2 tract to income, and what were the income distributions
3 of people? And, you know, not surprisingly, higher
4 income people are the ones buying the PV systems, as
5 opposed to lower income, was at least his conclusion at
6 that time. I guess it's sort of a debate people go
7 back and forth on.

8 And there were some papers on the rate design
9 impacts. You know, eventually going through and saying
10 here's a POU. Here's an IOU group, very similar
11 demographics, but obviously much different rates and
12 much different rate design.

13 So, again, some pretty interesting power
14 conference papers on that. And I really pushed Severin
15 to start thinking more about leases. Since as you
16 indicated, at the time most of the sales were really
17 lease or PVA.

18 MR. GAUTAM: Yeah.

19 CHAIR WEISENMILLER: It's probably shifting now
20 more to finance-alone. But again, it sort of is he's
21 trying to untangle the sort of economic drivers of
22 peoples' decisions.

23 That, you know, again, that seems to be a
24 resource to really connect into.

25 MR. GAUTAM: Yeah.

1 CHAIR WEISENMILLER: And, you know, particularly
2 as we go forward trying to make sense out of again
3 what's -- we know things are changing very fast. The
4 costs are coming down. We know the tax credit aspects.
5 We know the financing structure of the industry. The
6 rate design. There's a whole bunch of factors hitting
7 fast. And so, your forecasts go past where those
8 changes are coming into place.

9 So, we need to figure out how to untangle what
10 some of those changes will mean.

11 MR. GAUTAM: Yeah.

12 CHAIR WEISENMILLER: And on the NDA, certainly
13 if there's an issue there, let me know. We can try to
14 move that at a higher level.

15 MR. GAUTAM: Okay.

16 CHAIR WEISENMILLER: Again, I want to point out
17 that one of -- obviously, one of the things we try to do
18 is connect to the PUC. And Michael Picker is really
19 driving on the area of distribution planning. He and I
20 are coordinating with New York. Both he with,
21 obviously, the POC and myself more with NYSERTA.

22 So, you know, it's a pretty well-connected
23 activity going on there. And so, just as we -- I need
24 to make sure that what you're doing is going to be
25 useful in the PUC context that, certainly at the same

1 time, if there are things that the PUC can do to
2 facilitate your research, I need to know that.

3 MR. GAUTAM: Okay.

4 CHAIR WEISENMILLER: So we can do those
5 connections.

6 But certainly, if there's a way -- you know,
7 again, I think on the interconnection stuff we really
8 need to be thinking on the data collection part about,
9 you know, all the POUs in the IRP context. And then you
10 need, again, to be thinking about how you untangle the
11 different climate rate stuff for those and how that can
12 help your research.

13 MR. GAUTAM: Yeah, plenty, I think, to keep me
14 busy.

15 CHAIR WEISENMILLER: Oh, yeah. Yeah.

16 Okay, great, thanks again. Thanks again for
17 your hard work in this area.

18 MR. GAUTAM: Thanks.

19 MR. GARCIA: All right, thank you, Asish.

20 Next up we have Melanie McCutchan, from PG&E,
21 with their take on photovoltaic adoption.

22 MS. MC CUTCHAN: Good morning, Commissioners
23 Douglas and Weisenmiller. And good morning to everybody
24 participating here. My name is Melanie McCutchan. I'm
25 with PG&E's Policy and Strategy Team that's focused on

1 distributed generation.

2 And one of the things our team does is we help
3 PG&E incorporate retail solar more accurately, more
4 appropriately into our planning.

5 And I want to first thank the Commission, and
6 Mr. Gautam, and Mr. Kavalec and Garcia for the
7 opportunity to present to you today. And I think I also
8 want to say I very much appreciate the CEC staff, the
9 other IOUs' collaboration around really trying to
10 navigate what is a difficult task in terms of
11 anticipating a very dynamic PV market, with a lot of
12 policy and market uncertainty associated with it.

13 And I think, I appreciated, I just glanced at
14 Mr. Sigrin, from NREL's first slide, and it says that
15 "predicting adoption is hard". So, I don't mean to
16 steal your punchline there, but I think it's a really
17 good thing to keep in mind. But we have to do as good a
18 job as we can because it has significant implications
19 for planning.

20 So, the four main points I wanted to cover is
21 that I don't think it's a mystery to anybody that we're
22 seeing a lot of behind-the-meter PV adoption and it's
23 already having material impacts on system load.

24 Given the growth in this area, PG&E has invested
25 in tools to improve our incorporation of solar into our

1 load forecasting and system planning. And we think this
2 is important and we've identified some areas, as has
3 Ashish, Mr. Gautam went over as well, where there's some
4 gaps in understanding in PV adoption patterns and how
5 retail solar impacts hourly load.

6 And so, one of the key things we're hoping will
7 come out of this workshop is more recognition that there
8 needs to be more resources focused on this area. I
9 think we've done a lot as a State to really better
10 understand energy efficiency and the impacts on load,
11 demand response. But because PV adoption has kind of
12 come so quickly, we're not really at a comparable level
13 in terms of tools and information to help inform
14 adoption forecasting and generation forecasting.

15 So, wanted to just demonstrate how quickly solar
16 has been growing in PG&E's service area. It's been
17 growing at a compound annual growth rate of 35 percent
18 over the last five years. And we're also seeing it has
19 been clustered, as Commissioner Weisenmiller mentioned.
20 You know, it's generally been higher income areas and,
21 of course, mostly single-family homeowners are the folks
22 who have been able to adopt. So, you see a lot of
23 clustering, as you can see on this map. And what this
24 map is showing is the interconnected PV capacity by
25 feeder in PG&E's service area.

1 So, as I mentioned, I think the growth in retail
2 solar has really exceeded expectations and we're seeing
3 continued significant variations in projections. And,
4 you know, I don't want to sort of point to CEC,
5 particularly, in terms of having underestimated PV
6 growth. It's all analysts, virtually, you know, were on
7 board with that. And I think it's just been a very
8 rapid sort of development. And we're seeing that
9 technologies in general tend to be adopted more quickly
10 due to all the marketing and communication channels that
11 we have currently, in the 21st Century here.

12 So, I just wanted to demonstrate sort of the
13 scale of the impact on future anticipated load that the
14 kind of changing in projections has had.

15 So, what you're looking at here is, in this sort
16 of dashed orange line is the forecast from 2011, for the
17 2011 IEPR, the mid case, the mid case from 2013, and
18 then the most recent update. And you can see that the
19 yellow represents estimated generation based on actual
20 interconnected capacity.

21 And we're seeing that, you know, the CEC has
22 revised the forecast and we've appreciated all the
23 effort that's gone into that. And we wanted to also
24 demonstrate that when we're looking at it, what industry
25 analysts are forecasting, there is continued variation.

1 And so, I think it really is -- even if predicting
2 adoption is hard, if we can sort of limit the bounds of
3 that uncertainty, I think that would help in our system
4 plan and make sure we're doing efficient system
5 planning.

6 So, I wanted to give sort of a high level
7 overview of how PG&E approaches forecasting PV. So, we
8 start, and this is a pretty common standard approach,
9 very similar to what the CEC does, and what NREL does in
10 their solar DS and new DGEN model.

11 But we start by estimating a market potential
12 for retail PV. We look at how much viable surface area
13 there is for PV in terms of technical potential. And
14 then we look at current and future PV costs, and bill
15 savings associated with being a PV customer, and figure
16 out how many folks would be in the money, and for how
17 many folks for whom this would be a compelling value
18 proposition.

19 And then, we account for other constraints on
20 adoption. Home ownership is, you know, a really
21 important factor in terms of folks being able to invest
22 in PV. It's difficult to envision how, in the near term
23 at least, the sort of property owner/tenant relationship
24 could be adjusted to allow for more PV adoption in the
25 rental sector. So, that's something we're certainly

1 keeping an eye on.

2 And then we use a Bass diffusion modeling
3 framework to estimate the rate of adoption. You guys
4 are probably familiar with the kind of technology
5 adoption terms, like early adopters, majority. And
6 then, sort of essentially most technologies follow this
7 kind of S curve shape in adoption.

8 And so, we look at literature, and as does CEC,
9 and look at and kind of calibrate to historical adoption
10 and try and figure out how quickly the uptake is going
11 to take place.

12 And then I think a really key point in this
13 number three is that we have to account for -- there is
14 significant policy and market uncertainty in terms of
15 solar as a value proposition, as an attractive product
16 going forward. And so, we develop a distribution of
17 possible outcome and incorporate uncertainty into our
18 planning.

19 And then on number four here, we, as part of the
20 Distribution Resources Plan that we submitted in July of
21 last year, we were required to allocate our forecast
22 down to a feeder level to give our distribution planners
23 some tools to help them better assess how retail PV is
24 going to affect our distribution system.

25 And in order to do that we did a logistic

1 regression, which is basically a predictive tool to try
2 to figure out who would adopt, be likely to adopt solar.
3 We looked at folks' usage, their income, whether or not
4 they're a homeowner, and some other factors, their
5 credit score. And looked at historical adoption and
6 were able to figure out what are some of the main
7 drivers of adoption. And then, figure out who's most
8 likely to adopt within our territory.

9 And that's enabled us to sort of anticipate
10 where we might need to make some retail PV-enabling
11 investments, like to accommodate two-way power flow.
12 And it's given our planners a tool for seeing how retail
13 solar could impact distribution assets.

14 So, a key point that Mr. Gautam hit on is that
15 it's really important to understand how solar is going
16 to affect the sort of load at the meter that we need to
17 plan for. And in order to get a better handle on this,
18 PG&E's developed some solar profiles using CSI data, and
19 our interconnection date, and NREL's PVWatts Tool.

20 And our meteorology team is actually in the
21 process right now of developing more geographically
22 granular estimates all the way down to the distribution
23 planning area.

24 And then, also, trying to get some sense of
25 uncertainty bounce. And, you know, I think you have to

1 think about planning criteria if you want to make sure
2 that you have the assets necessary to continue to serve
3 customers, that you're planning to a reasonable element
4 of uncertainty. So, that's another thing that we're
5 making sure that we're incorporating.

6 And then this fourth bullet here, it hits on the
7 fact that you can't just look at folks' load before they
8 became solar customers and then put a generation profile
9 over that in order to understand what they're going to
10 need for the grid.

11 And just for some context, in case folks aren't
12 aware, we -- most of the IOUs don't have generation data
13 for their PV systems interconnected in our territory.
14 So, when we're trying to figure out what was the load
15 that we need to serve, we have to model, essentially,
16 what a solar customer's needs are going to be both in
17 terms of interconnected, current interconnected solar
18 customers, but then looking out into the future.

19 So, you know, we may see that in initial looks
20 we're seeing that the consumption patterns do change
21 after folks become solar customers.

22 And, actually, Commissioner McAllister's
23 dissertation is one of the few bodies of literature
24 that's been done on this. And so, it's an area that
25 could use more attention and build off that work that

1 was done.

2 And then, another thing that is important is
3 that when we do our demand forecasting and planning we
4 plan to, for example, sometimes a 1-in-10 heat event, or
5 to account for how the weather affects demand, of
6 course. And one thing we're finding is that temperature
7 really affects solar production. The panel efficiency
8 goes down dramatically after a certain temperature. And
9 so having better information on that, on how to model
10 that would help us understand what's going on in our
11 system.

12 And what I'm calling, now, the solar igloo
13 thing, bears some explanation. But it's basically a
14 month hour system, a generation profile for a typical
15 retail PV system in PG&E's service area. And what
16 you're looking at here -- I guess I'll have to just
17 point. So, we're going to talk a lot more, I think,
18 later in the day about how our system peak is shifting.
19 And retail solar is one factor in why that's happening.

20 And I think I mentioned that, you know, solar is
21 already having a meaningful impact on our load. And we
22 believe it's playing a factor in a shifting of our load,
23 our system peak and the peak month from hour ending 16,
24 or 4:00 p.m., to hour ending 18 or 6:00 p.m., just based
25 on the about 2,000 megawatts of solar we have installed

1 right now.

2 And going forward, the key thing to see here is
3 that the incremental contribution to reducing system
4 peak from solar is going to go down as the sort of net
5 peak goes later into the day, right. So, solar is
6 producing at about almost 40 percent at hour ending 18,
7 or 6:00 p.m. At hour ending 20, or 8:00 p.m., solar is
8 producing only at about one percent. So, it's really
9 important to get that incorporated accurately in our
10 planning.

11 And so I mentioned that there's some gaps in
12 tools and information. And then, there are some
13 inherent challenges in doing this kind of forecasting.
14 But I wanted to hit on one that I thought was important.
15 And that is that, and Asish Gautam mentioned it earlier,
16 but a key part of the modeling is to really understand
17 how customers are going to respond to the
18 cost-effective -- the value proposition of the cost
19 effectiveness of solar.

20 And what I wanted to show here is -- these are
21 images from the documentation that NREL put together for
22 their model. And there's been some shifting and
23 thinking in terms of how folks may respond to certain
24 levels of cost effectiveness for solar.

25 So, what you're looking at here is on the X

1 axes -- axis, rather, on both graphs, you're looking at
2 the percent of market share that you'd expect given --
3 I'm sorry, on the Y axis. The share of market share
4 you'd expect for a given payback or cost effectiveness
5 on the X axis. And the curves you're seeing there, in
6 the A-labeled graph, are showing that you really need
7 very high -- or low payback times in order to see a lot
8 of adoption.

9 And these studies were mostly based on a study
10 of electric heat pumps done in 1982. And, you know,
11 with some kind of calibration after that. But, you
12 know, really, that's just not a good representation of
13 where solar decision making of house -- solar decision
14 making is being made.

15 So, Mr. Sigrin, who will be presenting after me,
16 has done some work, as Mr. Gautam mentioned, in San
17 Diego County, doing a survey of both folks who have
18 adopted solar and how have not adopted solar. And has
19 introduced a potential, and I know this is not a final,
20 I think, curve, but a potential new look at how
21 customers respond to cost effectiveness.

22 So in graph B what you're looking at is, on that
23 light blue line, is the result of the study and what
24 that would indicate about how much folks would adopt,
25 what portion of the population would adopt, given a

1 certain level of payback. And you can see that it
2 would -- using that curve, you would predict a lot more
3 adoption.

4 So, talked about -- I just want to identify a
5 couple more gaps. So, we talked about customer
6 responsiveness to solar cost effectiveness. We also
7 talked about the consumption patterns after solar
8 adoption, so how do folks' loads change after they go
9 solar.

10 And then the third bullet was hit on by Mr.
11 Gautam. That, you know, there just are some real
12 uncertainties around future rate design and how that
13 will impact solar economics. And so, it's important
14 that we are open to really incorporating uncertainty
15 into our planning decisions.

16 And I will end it there and let other presenters
17 come on. Any questions?

18 CHAIR WEISENMILLER: Yeah, so I'll ask you some
19 of the same questions I asked staff. So, you know,
20 first is the proverbial, have you thought in terms of
21 any stratified frequency -- cumulative frequency
22 distribution, again, how much the impacts on PG&E's
23 systems are coming from commercial/industrial, versus
24 residential?

25 MS. MC CUTCHAN: Well, you know, I think it

1 depends what level of the system you're looking at,
2 right. So, if you have one -- if you're looking at a
3 very granular level, like a feeder, and you have one big
4 nonresidential system it can have a quite a big impact.

5 In terms of scale, the numbers that Mr. Gautam
6 mentioned, about 60/40 --

7 CHAIR WEISENMILLER: Right.

8 MS. MC CUTCHAN: -- res/nonres are about right
9 for PG&E. And so in terms of -- and that's installed
10 capacity so, yeah.

11 CHAIR WEISENMILLER: Yeah. Well, the other
12 question is similar to -- well, actually, I think you
13 and I have had this conversation before. So, obviously,
14 as solar costs have come down, installations have gone
15 up. You know, and at the same time most of the models
16 look at it in terms of cost effectiveness.

17 And at the same time, most of the installations
18 so far have been a lease or a PPA. And so, in a way
19 things are much more determined by FICO score than cost
20 of -- you know, presumably, they try to target the
21 marketing to high FICO scores and go in that direction,
22 and that sort of arrangement, zero down, et cetera. You
23 know, it sort of flips the logic, it would strike me,
24 from a simple cost effectiveness calculation.

25 So, I mean, you certainly have taken it down to

1 the next step, into customer class and targets. But
2 again, how do you go from an economic cost effectiveness
3 to something that reflects more the variety of packages
4 being offered to consumers?

5 MS. MC CUTCHAN: I think one strategy is to
6 basically have different curves depending on, you know,
7 if somebody's owning it themselves, going through a
8 loan, going through a lease.

9 CHAIR WEISENMILLER: Yeah.

10 MS. MC CUTCHAN: So you might want to study --
11 you know, if NREL is able to go forward and do some more
12 work on this, that might be a consideration to actually
13 do different market curves for each type of arrangement.

14 CHAIR WEISENMILLER: I mean we have to -- the
15 other question is obviously your CI ratio are unbundled
16 right now, they've been unbundled for years. So, in
17 terms of how far do you get into rate design in this
18 analysis, as opposed to some silly this is the average
19 rate?

20 MS. MC CUTCHAN: So, we've found that looking at
21 average rates just doesn't work.

22 CHAIR WEISENMILLER: That's what I assume, yeah.

23 MS. MC CUTCHAN: And so, we segment our
24 customers by tariff and by ten usage classes for
25 residential.

1 CHAIR WEISENMILLER: Yeah, how about CI?

2 MS. MC CUTCHAN: CI just by tariff.

3 CHAIR WEISENMILLER: Okay.

4 MS. MC CUTCHAN: Yeah.

5 CHAIR WEISENMILLER: And do you have a sense of
6 how the -- you know, you pointed to various expert
7 groups, you know, who do forecasts, which are obviously
8 much higher than staff. Do you have a sense of what
9 their methodology is?

10 MS. MC CUTCHAN: It's very similar. But rather
11 than using this kind of payback approach they use a
12 benefit cost ratio, which basically captures bill
13 savings. So, you know, if my average retail rate is 17,
14 18 cents in PG&E's area or so, and I can go out and get
15 a lease for 15 cents, then you're saving quite a bit of
16 money and there's -- that's really -- can be translated
17 into a levelized benefit cost ratio that is actually
18 what we use in terms of our forecasting, as well.

19 CHAIR WEISENMILLER: Okay. I mean, obviously,
20 PG&E now offers a solar option to its customers. Have
21 you done any forecasting on what sort of uptake you
22 expect from that?

23 MS. MC CUTCHAN: I haven't, personally. Another
24 team may be working on that at PG&E.

25 CHAIR WEISENMILLER: Yeah, that may be something

1 which, again, I think staff would probably be very
2 interested in those sort of studies, too. As, you know,
3 he tries to sort of incorporate all solar, not just --
4 Basically, and I think the other thing it would be good
5 to have some sense on is, as you indicated, this is
6 really a huge area. Everyone's scrambling to step up in
7 terms of the research side and the modeling side.

8 And I guess it would be good to get, from PG&E,
9 some sense of research priorities in this area. And
10 since, frankly, you can be more nimble responding, than
11 we can, to get a sense of where you're going to spend
12 your research dollars and those methodological
13 improvements.

14 MS. MC CUTCHAN: Well, that's a good segue for a
15 point I kind of forgot to make, but really wanted to
16 make sure we hit on. And that is that, and Chairman
17 Weisenmiller, you mentioned you were perhaps willing to
18 connect with the CPUC in terms of more collaboration on
19 developing better tools and information.

20 And, you know, we do still have quite a bit of
21 measurement and evaluation money left through the CSI
22 program. The last time that the CSI program did an
23 impact evaluation was in 2010. So, it's really time to
24 leverage some of the Itron data that Mr. Gautam pointed
25 out and do some more studies to help us plan for a

1 future that has a lot more solar in it.

2 CHAIR WEISENMILLER: Yeah, that would be good.
3 I think the other thing I would point out is President
4 Picker's vision on, you know, essentially how we tie
5 things together is that for your distribution resource
6 planning to use assumptions adopted by the Energy
7 Commission on loads and, you know, the various preferred
8 technologies.

9 And so, obviously, that's one of the reasons
10 we're scrambling on upping our game here, both in terms
11 of the methodology and the level of disaggregation.

12 MS. MC CUTCHAN: And I would also emphasize
13 that, you know, we -- a lot of our planning relies on
14 statewide forecasts.

15 CHAIR WEISENMILLER: Right.

16 MS. MC CUTCHAN: And so we are absolutely, you
17 know, committed to using the CEC's forecast on a
18 statewide level and for our planning. And, you know,
19 we'll only make adjustments if we see it necessary.

20 CHAIR WEISENMILLER: Yeah, but again the bottom
21 line message is President -- when you go into President
22 Picker and say this area needs X, he wants to know if we
23 agree on that.

24 MS. MC CUTCHAN: Right.

25 CHAIR WEISENMILLER: And he wants you ultimately

1 to be using what we're adopting. So that means that's
2 one of the drivers for us on a much more granular
3 forecast.

4 MS. MC CUTCHAN: Right. Great, and we are
5 working very closely with CEC staff and other IOUs on
6 this, and so look forward to continuing to do so.

7 CHAIR WEISENMILLER: Okay, great.

8 COMMISSIONER MC ALLISTER: Great. Well, a
9 couple of questions. So, thanks for the presentation
10 that was great. I really congratulate you on your
11 impeccable references.

12 (Laughter)

13 COMMISSIONER MC ALLISTER: But a couple of
14 questions just on -- well, really on a personal note, I
15 guess it is difficult to do this kind of analysis. And,
16 you know, keeping track of the marketplace is very
17 difficult. It's way, you know, it's way different now
18 than it was four or five years ago. And we'll get, you
19 know, we'll evolve in ways that maybe we don't exactly
20 know. And I think your research is really key to kind
21 of anticipating some of that and getting good numbers,
22 so we can plan. And granular is good and I think we all
23 are in agreement where the forecast is going with all
24 this. So, I think the way you've laid it out is really
25 great.

1 I guess, you know, and I just very much agree
2 with the rates discussion. That the rate, you know,
3 what the consumer sees is really going to be key to how
4 this develops. And, you know, my own experience is that
5 consumers really listen to what the contractors say and
6 they make kind of an overall value proposition judgment.
7 But, really, marginal rates and sort of the details are
8 things that don't really -- they're not really tuned in
9 enough to that to use, you know, the details. But
10 really, it's an overall value proposition.

11 And as solar gets lower and lower in cost, you
12 know, my sense is it's becoming more commoditized and
13 it's less -- it's sort of less about the financing and
14 the cost effectiveness sort of details than it is just
15 like, hey, this isn't as big a deal as maybe it was five
16 years ago.

17 I guess I'm wondering -- so, we saw the -- you
18 know, starting out the pioneers bought their systems,
19 put them on their roofs. And then it migrated over to,
20 you know, 70, 80 percent finance of some sort. You
21 know, third party, leases, or whatever.

22 And now, I'm wondering if that trend is
23 continuing or if we're seeing an evolution back towards
24 ownership?

25 MS. MC CUTCHAN: I think you're right that as

1 the price of solar comes down, the financing becomes the
2 less critical piece to making this viable for folks.
3 So, you know, if you can buy a 3-kilowatt system for
4 \$8,000, \$9,000 versus, you know, \$25,000 or \$30,000 when
5 the CSI program wasn't in place, the financing becomes
6 less important of a factor.

7 And we are seeing more host-owned and, you know,
8 home equity financed solar.

9 COMMISSIONER MC ALLISTER: Do you have data
10 about that? I mean, is that being tracked?

11 MS. MC CUTCHAN: It's being tracked by Green
12 Tech Media's research, or DTM research. There's a study
13 that I can share with you that -- or, it might be a pay-
14 for study.

15 COMMISSIONER MC ALLISTER: Yeah, okay.

16 MS. MC CUTCHAN: But I can point you to it.

17 COMMISSIONER MC ALLISTER: So I'm wondering, I
18 was in late, so sorry about that. But did you talk
19 about sort of the trends along those lines? In terms of
20 data accessibility, I guess who's tracking what? I
21 mean, I know that's been an ongoing issue.

22 MR. GAUTAM: Yeah. So, I believe the -- in the
23 IEPR we're trying to get into what -- if the systems
24 were host-owned or leased. And the new interconnection
25 data set is, is trying to continue the efforts. There

1 is data behind that, but I haven't had a chance to kind
2 of cross that --

3 COMMISSIONER MC ALLISTER: Okay. Melanie, do
4 you know if that field is still being tracked in terms
5 of, you know, post-CSI, if that's still being
6 registered?

7 MS. MC CUTCHAN: I believe that's a voluntary
8 field and the spot may be a little spotty.

9 COMMISSIONER MC ALLISTER: Okay. So, I mean,
10 that would obviously be helpful for this kind of market
11 analysis.

12 So, let's see, you know, I lean on energy
13 efficiency but, obviously, kind of very interested in
14 the solar side of this as well. So, there are
15 increasingly people that have solar, but that also want
16 to still pay attention to their consumption. Not that
17 everybody wants to get into the details.

18 Right now, I think, I believe it's very hard to
19 do that. And I'm wondering how, you know, if there's a
20 plan -- or, maybe this is already in place and I just
21 don't know about it. But if, for example, I've got an
22 inverter that shoots production data over to wherever
23 but, you know, it's web. You know, it's on the web and
24 I can access it. And I've got my Smart Meter from PG&E
25 that I've got hooked up to a device that fees out of the

1 web.

2 And I guess I'm wondering if -- you know, I'd
3 like to be able to combine those things, get a net
4 consumption. Get net consumption with production and
5 get a gross consumption, and then be able to do analysis
6 on that, and that's the only way I can actually look at
7 the performance of my home, right.

8 I don't want to do all those details. I don't
9 want to be a coder. I don't want to do -- and 99.9
10 percent of us, I think, are in that same boat.

11 But I guess it would be great to have that
12 institutionalized and fed into some -- you know, so you
13 could use Green Button, or something of its ilk to sort
14 of say, okay, well, this third party's going to tell me
15 what my investment priorities in my home ought to be
16 going forward.

17 Do you know about that or can we find out about
18 that?

19 MS. MC CUTCHAN: Yeah, I'm actually happy to
20 report that PG&E definitely wanted to be responsive to
21 hearing from our customers that they really wanted to be
22 able to combine their generation data with -- their PV
23 generation data with their Smart Meter data to get, like
24 you're saying, a full picture of their consumption.

25 And we've been working with Enphase and Solar

1 City, and some of the generation production trackers,
2 providers to work longer term to try to facilitate that.

3 But we, just this year, have started a pilot
4 project. I believe it was EPIC funded. That allowed us
5 to give our solar customers within the My Energy, kind
6 of Green Button space and where they're able to look at
7 their consumption, actually give them a full picture.

8 So, we have about 250,000 solar customers in our
9 service area, now. And that pilot project is being
10 rolled out to 10,000 of those customers. So, we'll see.
11 It seems to be going well so far, but I think we'll want
12 to take a closer look at that.

13 COMMISSIONER MC ALLISTER: Great. I'd love to
14 know more information about that. I think it's a really
15 valuable kind of effort going forward.

16 CHAIR WEISENMILLER: Yeah, actually, I thought
17 for a moment there you were going to the other question
18 which was -- my impression is the solar companies really
19 are looking more at upselling.

20 COMMISSIONER MC ALLISTER: Yeah.

21 CHAIR WEISENMILLER: Their preferred base to
22 storage, at this point. And so, one of the questions is
23 how do we best incorporate that in the forecast.

24 COMMISSIONER MC ALLISTER: Yeah. Also, on the
25 rate side, again, I mean I think we're seeing the PUC

1 and, you know, obviously we don't all have a crystal
2 ball as to where it's going to go in 2019. But they've
3 made a distinction, now, between the energy that's
4 getting pushed in the grid and the energy that's
5 consumed behind the meter.

6 And, you know, that's going to make a big
7 economic -- that's going to drive a lot of this stuff
8 going forward. And so, I actually think that's
9 appropriate given a lot of the distribution
10 conversation. But that's a kind of a key variable going
11 forward.

12 I don't know if the Chair agrees with that, but
13 the rate design I think is really critical.

14 CHAIR WEISENMILLER: No, I had actually
15 encouraged folks to look a lot at the variation among
16 IOUs and POUs, and among commercial/industrial. There's
17 just so many different rate designs already in
18 California. We can try to get in front of, you know,
19 some of that impact of what's coming.

20 And, obviously, from an NREL perspective, if
21 you're looking, say, at Hawaii or, you know, New Jersey,
22 again there's sort of that natural laboratory of saying,
23 okay, what's happening with different rate designs
24 around the country.

25 COMMISSIONER MC ALLISTER: Yeah.

1 CHAIR WEISENMILLER: Much less within
2 California. And what does that tell us about what time
3 of use, or higher or lower rates, what it would mean.

4 COMMISSIONER MC ALLISTER: Yeah, I think this
5 business model question about what -- you know, solar
6 has come down so much that I think there's -- even with
7 reformed rates, there's going to be a clear value
8 proposition for somebody who wants to go solar. I mean,
9 within the kind of realm of possibilities that we're
10 looking at now, sort of reasonably.

11 But the value proposition has been so great now,
12 like up to now that I think the companies, themselves,
13 have kind of had a pretty sweet deal in terms of the
14 amount of margin they can generate and still offer the
15 customer a really good deal.

16 And I guess I'm wondering -- well, anyway, I
17 think we'll all see how -- you know, on the flip side
18 what does the customer need? You know, we've talking
19 about that, what does the customer need to see in terms
20 of rate of return, you know, payback.

21 But the flip side of that is what the solar
22 company needs to see for their business model, right.
23 And so, you know, what investors want to see in terms of
24 margin.

25 And as the whole kind of thing narrows, as I

1 think everybody anticipates with NEM reform and with
2 rate reform, you know, time of use and all that kind of
3 stuff, we'll see, right, who sort of who stays in the
4 market. Who's going to try to upsell more aggressively,
5 less aggressively. How they're going to design systems,
6 you know, what sizing and all that kind of stuff. So,
7 very interesting.

8 But I, personally, think there's a great value
9 proposition going forward, you know, if what -- you
10 know, in the realm we think is going to happen, actually
11 happens. You know, a lot of good stuff happening in the
12 marketplace.

13 We want to have that same marketplace dynamic
14 for efficiency, by the way. So, not just storage, but
15 in terms of efficiency. So, you know, we need to get
16 the solar companies back in to selling efficiency.

17 So, okay, well, that's it for my questions.

18 MS. MC CUTCHAN: Thank you. No questions? All
19 right, thanks so much for everybody's time.

20 MR. GARCIA: All right, thank you, Melanie,
21 appreciate that.

22 Next up we have Ben Sigrin from the National
23 Renewable Energy Laboratory. He has quite a bit of
24 information, so let's get ready to digest this.

25 MR. SIGRIN: All right, good morning. My name

1 is Ben Sigrin. I'm a staff engineer at NREL. I work
2 out of Golden, Colorado. I'd like to thank the
3 Commission, and the Commissioners, and the audience for
4 allowing me to present today.

5 So, I'm involved in a variety of modeling and
6 forecasting issues. For PV, generally, but also other
7 distributed energy resources. And we're also involved
8 in a variety of theoretical work. By that I mean
9 understanding consumer behavior, their responsiveness to
10 economics, issues of competition, and pricing, and so
11 on.

12 So, the topic of my talk today is "Predicting
13 Adoption is Hard". As some of the other presenters have
14 noted this is -- you know, this is not a final problem.
15 We haven't solved it. We're still trying to find the
16 best methods of answering this.

17 So, I think the question that everyone really
18 wants to know is how much PV is there going to be and
19 where the heck is it going to get deployed.

20 So, this is a paper I've been working on
21 recently. It's a working paper. And in here we
22 compiled a few published forecasts of distributed PV in
23 the residential sector in California. And we also
24 generated some of our own forecasting techniques.

25 And the take away here is that even among

1 different types of forecasting there's great, you know,
2 disagreement about how much there's going to be? When
3 first-time adoption will peak? What time that peak will
4 occur and so on.

5 So, I think this sets the stage that, you know,
6 again, this is not a solved problem. There's a lot of
7 moving pieces, as some of the other speakers have noted.

8 So, I wanted to first note what I consider four
9 main issues in the field. The first one is that, as
10 some of the speakers have presented, as the Commissioner
11 has noted, there's great heterogeneity in consumer
12 preferences. So, the figure on the right is a national
13 distribution of annual electricity consumption, from DI
14 RECS survey.

15 And basically, you can see that taking the
16 median or mean of that distribution is unrepresentative
17 of the wide variation in energy consumption. So at
18 least in California, on our tiered rates, if you're on
19 the right-hand, the long tail of that distribution, then
20 the value proposition when you're offsetting at tier
21 three or four, for example, is very different than if
22 you're on the left side of the distribution offsetting,
23 say at tier rate or maybe even a care rate.

24 So, we really need to be careful to not take
25 just the mean consumer. We have to understand the wide

1 variation in consumption, but other kind of tech and
2 economic characteristics that would define their
3 propensity for adoption.

4 The second issue is that, this is not true of
5 all models, but some specifications can suffer from what
6 I call a knife's edge. And so, by that I mean you can
7 sort of have an all or nothing response. Either, the
8 breakeven cost of solar is above or below the retail
9 rate, you either get 100 percent adoption immediately,
10 or zero percent.

11 And, of course, you know, in the real world
12 that's not really true. So, we have to be careful. And
13 especially zero-down financing, leasing in other words,
14 where you can have positive cash flow from year one.
15 This is something to incorporate into your modeling.

16 The third issue is, as some of the speakers have
17 noted, potentially there's a lot of data requirements
18 here. And, you know, it really depends on the
19 resolution of your model. But the consistency and the
20 formatting of the data can be overwhelming to an
21 analyst.

22 And then, additionally, some many things are
23 changing so quickly that most of our data needs to be
24 effectively, continuously updated. At the minimum, on
25 an annual basis. But there's many other things, costs,

1 rates, business models, and so on that do need to be
2 accounted for on a sort of real-time basis.

3 And the fourth issue is that there are many
4 sources of uncertainty in our forecasting. There's
5 uncertainties both in our techno economic
6 characteristics, like what will be the real cost of
7 solar in 2020? What will be the cost of storage in
8 2020?

9 Of course, there's also uncertainties in the
10 underlying specification. What is the real response of
11 a consumer, say, to a five-year payback. And so,
12 because of these uncertainties, you know, we often are
13 forced to make a certain decision. We have to come up
14 with a reference scenario. We have to have some
15 expected value.

16 But at least at NREL and I think a lot of other
17 institutions, we see a great value in scenario analysis
18 where we can try to understand what are potential
19 tipping points? What are costs at which, if they reach
20 a certain cost, that you might get a tipping point in
21 the response?

22 And so, I think that doing scenario analysis to
23 capture some of that uncertainty, to understand where
24 are the tipping points, as I said, should be considered
25 in all forecasting.

1 So, I'd like to talk about sort of two general
2 model types that I see in the literature right now. The
3 first is top down modeling. So, top down modeling, by
4 that I mean we're trying to represent population-wide
5 demand or population-wide summary statistics. So, these
6 are generally econometric or regression type of models.
7 So, we might say, you know, the average income in track
8 A.

9 And of course an advantage of these types of
10 models is tractability. There are many published
11 sources of data where we can get ready access to summary
12 statistics, you know, say at the tract or the county
13 level.

14 But the disadvantage, as we've noted, is the
15 inflexibility to consider new technologies, new business
16 models, other sort of evolving economic drivers.
17 There's also a perennial concern for over fitting and
18 whether these top down models can really incorporate
19 sources of uncertainty in their forecasting.

20 So, of course, the opposite of top down is
21 bottoms up. So, bottoms up modeling, these are where
22 we're trying to represent individual level demand or
23 individual level characteristics. Or, if not at the
24 individual level, then at a statistically representative
25 cutoff.

1 So, these are generally engineering models. And
2 an advantage of these is a flexibility of the
3 specification. Basically, we can always add another
4 module. We can have limitless detail of the features
5 that we consider important in a model.

6 So, the Commission has talked about third-party
7 ownership. That's something that you could incorporate
8 in a bottoms up model without too much work.

9 And then, of course, the disadvantage, as I
10 noted, is that these types of models can be quite data
11 and computationally expensive. And so, that needs to be
12 kept in mind given limited staff resources.

13 So, let me give one example of a top down model.
14 So, this is a model that my colleague, Carolyn Davidson,
15 estimated in 2014. So, this study combined several
16 types of geospatial information, population
17 demographics, solar radiance, et cetera, at the tracked
18 level to understand what subsets of geospatial
19 information were the best predictors of PV adoption.
20 So, essentially, the median income in that county, the
21 median homeownership rate, et cetera.

22 And we also used a LEAPS approach, where we are
23 sequentially adding variables to the model to understand
24 which combination of variables adds the most predictive
25 value to the model.

1 And so you can see some of those most predictive
2 variables here were mortgage or homeownership rates, the
3 home size, such as the number of bedrooms, electric
4 vehicle ownership. And this model performed fairly
5 well. We got up to about 50 percent R squared. But
6 there's limits to what you can do with aggregate
7 statistics.

8 So, let me give another example of a bottoms up
9 model. So, as has been mentioned before, NREL has been
10 performing distributed PV forecasting since around 2008.
11 Our initial model was called Solar DS. This was a
12 bottoms up market penetration model. And we simulate
13 household, so residential and commercial decision making
14 through what I call a binned approach. So, some attempt
15 at understanding heterogeneity, say a bin of high-
16 consuming households, medium consuming, low consuming,
17 et cetera.

18 And we also had specific engineering submodules
19 there for the PV performance, its temporal generation
20 profile and also the financial performance, doing a
21 discounted cash flow model. As has been noted earlier,
22 that model draws upon vast theory to understand how
23 customer adoption could be simulated over time.

24 So, I want to talk about one of the new
25 frontiers that I consider in diffusion modeling, and

1 these are agent-based models. I assume that parts of
2 the audience here are familiar with these. So, an
3 emerging specification are HM-based models. These are
4 extremely bottoms up models of individual consumer
5 behavior.

6 So, the building blocks of an agent-based model
7 are we have a theory driven specification. We defined,
8 you know, micro drivers of behavior, such as I would
9 adopt if it was economically sound. I would adopt if
10 others in my peer network had also adopted or at least
11 that would influence me.

12 These manifest themselves in specific behavior
13 rules. How much response to the peer effect? How much
14 response to the economic effect? And then, those can be
15 simulated over time, simulated both over time and over
16 geographies.

17 So, agent-based models, in my opinion, are a
18 useful method for simulating DG adoption because these
19 agents can explicitly represent the underlying
20 population heterogeneity. They can respond to both
21 economic drivers, stimulated events such as a high
22 summer electricity bill. And they can also response to
23 peer effects, non-economic drivers, such as the
24 influence of my neighbors adopting.

25 So, ultimately, another great advantage of these

1 are it offers a rich opportunity for model calibration
2 and cross-validation. In other words, we can use prior
3 historical data to calibrate responses and uncover rules
4 of behavior.

5 So, let me give two examples of successful
6 agent-based models, currently. On the left, this is an
7 empirical agent-based model for the Austin, Texas metro
8 area. It was performed by Dr. Varun Rai. He was my
9 graduate advisor at the University of Texas.

10 So, this is sort of the extreme of what agent-
11 based models can be. They have surveyor data for each
12 building and each household in the Austin metro area.
13 For each of those buildings they're trying to uncover
14 the set of attributes that they can at that resolution.

15 So, some of the factors in their model were
16 attitudes of the households, perceived uncertainty of
17 the technology, peer effects as I've mentioned, and also
18 economic benefits.

19 On the right, this is a theoretical model that
20 I've been working on with Dr. Adam Henry, from the
21 University of Arizona, for the Sacramento Region. And
22 in here we're trying to understand what the optimal
23 allocation of rebates might be. Basically, how can you
24 maximize diffusion given a set investment budget for the
25 rebate?

1 So, as has been noted earlier, if we assume some
2 amount of segregation in social systems, in other words
3 some neighborhoods are richer than others, some are
4 poorer, and that the propensity for adoption is
5 dependent, at least some part, on socio demographics,
6 then inequitable distribution of rebates is an
7 inevitable consequence of that type of social
8 segregation.

9 Okay, so I'd like to spend the rest of my time
10 talking about our current approach. So, as I mentioned
11 earlier, Solar DS was our original model. We've since
12 upgraded this in 2013 and '14 to the model called
13 dSolar. DGEN actually is our general distributed energy
14 Resource Model.

15 So, this is a model that uses both top down
16 approaches and bottoms up principles. As I said, it
17 draws upon many of the principles of Solar DS. But some
18 of the new features, as I've mentioned, are a foundation
19 in spatial data. And so by that I mean, you can see in
20 the figure on the right, we start with sort of real
21 world features, urban development, population, solar
22 resource, et cetera. Each of these can be coerced into
23 geospatial layer.

24 And then, the agents are embedded in that
25 ecosystem. They can understand, you know, how many

1 adopters are around me, what incentives are available in
2 my area. It just makes a very coherent framework for
3 modeling agents.

4 And then, also, as I mentioned earlier, there's
5 sort of this tradeoff of models' precision versus the
6 amount of data required to calibrate it.

7 And so what we do currently are statistically
8 representative agents. We cannot capture the full set
9 of attributes for every building in the U.S. That's
10 obviously not feasible. But what we can do are cluster
11 them, in a sense, to say what are statistically
12 representative agents. Agents that represent, say, 100
13 households like me in the community that might all have
14 similar attributes, like a high level of consumption, a
15 large home, a high level of environmental concern,
16 things like that. So, that's our current method for
17 dealing with the heterogeneity issue.

18 So, I think this concept has been described
19 earlier this morning, but one of the ways that we think
20 about this problem is a concentrix -- sorry, a series of
21 concentric circles, estimating the different potential
22 levels in a market.

23 So, resource potential at the far left. How
24 much theoretical irradiance falls on the earth every
25 day. Technical potential, what is the total usable

1 rooftop area in a region. What would be other siting
2 constraints, like shading, like roof quality, et cetera.

3 Economic potential, given the set of agents that
4 could feasibly adopt, how many of them could do so at an
5 economic advantage.

6 And then, finally, at the far right, market
7 potential given the set of agents that could both
8 technically adopt and do so at a profit, how many will
9 actually adopt and what will be their patterns of
10 adoption over time.

11 So, you know, I sort of flipped back and forth
12 between the micro and the macro here. But I do want to
13 take a step back and say I think that getting the big
14 things right is also very important. So, estimating
15 sort of our macroeconomic factors, like building counts
16 in a territory, addressable rooftop space, addressable
17 load. These should all be considered sort of a zero
18 order of priority where, if we get those things wrong,
19 then everything else downstream of it is going to be
20 wrong in the model, too. And probably the error's going
21 to propagate and get larger.

22 So, we spent a lot of time trying to get these
23 macro factors right. One of the studies that we did
24 earlier this year, we got LIDAR satellite data, where we
25 were able to image something like 130 cities in the

1 U.S., and understand the shading tilt azimuth and
2 rooftop area for each building, each panel -- I'm sorry,
3 roof polygon in that area. And so, those helped to
4 inform, from a data-driven process, the usable rooftop
5 area.

6 So, I think that one of the trends that we see
7 is that increasingly these types of estimates are based
8 on information of either real buildings, a census of
9 real buildings, or at least a sample of the buildings in
10 the region.

11 So, next economic potential. I think this has
12 been talked a lot about today. So, what I want to
13 emphasize is that the economic factors are important.
14 We can't just use, say, the mean cost of electricity
15 because some consumers are offsetting in a much higher
16 rate, some at a lower rate. And we also need to
17 understand hourly effects like as we move to time-in-use
18 pricing the hourly effects will be more important,
19 demand charges, fixed charges, et cetera.

20 So, basically, for each agent in our model we're
21 going to do a discounted cash flow analysis that
22 incorporates the retail rate structure, the project
23 technology costs, whether they can apply for any
24 incentives. And then, as we've talked about a lot
25 today, available financing terms, whether a system is

1 bought or leased, and at what rate, at what tenure.

2 So again, particularly in California, at least
3 right now with our tiered retail rate structures, PV
4 economics are very dependent on energy consumption
5 levels. So, optimal system design is complex. It's
6 going to get more complex with time of use rates and/or,
7 you know, as storage starts to play a big role in the
8 retail space.

9 So, finally, market potential. You know,
10 simulating the customer decisions remains the most
11 essential, yet uncertain aspect of diffusion modeling.
12 I mean, ultimately, we're trying to predict human
13 psychology here. And we can do a lot of surveys, we can
14 have different estimates, but at the end of the day
15 human psychology is human psychology. It's not an
16 engineered system.

17 So, I think Melanie showed a graphic like this.
18 One way that we think about this is payback time on the
19 X axis, what percentage of customers would respond if
20 exposed to a certain payback time.

21 And then I think, also, thinking about other
22 metrics is very relevant. I'm working on a paper
23 related to that. But monthly bill savings we see is
24 starting to eclipse payback period as the main metric
25 that consumers use to evaluate that decision. I think

1 that's driven partially by leasing. It makes the most
2 sense to evaluate a lease system in terms of how much am
3 I going to save per month.

4 But also, I think that it draws on consumer
5 behavior, where consumers have sort of a bounded
6 rationality. They can relate that metric more easily to
7 their own circumstance. How much am I paying on my bill
8 every month? How much could I offset?

9 I also want to say here, though, that if we've
10 done everything up to this point, if we have a well-
11 defined model, if we have all the macro factors, if
12 we're estimating the economics well, there's many other
13 types of models, decision adoption models that we could
14 insert here.

15 So, I know that generalized Bass models are an
16 interesting model that you can insert here. Discrete
17 choice I think is also another interesting method that
18 one could use, where you can measure both the utility of
19 economic drivers, but also noneconomic drivers.

20 And then I think another growing area here is
21 machine learning. Machine learning basically takes the
22 theory out of it and says can we uncover the principles
23 of adoption without, you know, defining how that should
24 work theoretically.

25 Okay, so where do we go from here? This is sort

1 of my prognosis on the issues that I think will be
2 growing more important over the next decade.

3 So, as Melanie mentioned, spatial forecasting to
4 understand distribution resource planning issues is
5 going to become more important. As we have noted a
6 couple times earlier, historic PV adoption is clustered
7 spatially. Rich neighborhoods tend to adopt more than
8 poorer neighborhoods. And, when my neighbor adopts, I'm
9 more likely to consider adopting as well.

10 So, we really have to understand not only how
11 much there's going to be, but where it will be adopted
12 as well.

13 We also have to understand the interactions,
14 especially in load shifting for other complementary
15 technologies, like electric vehicles, home energy
16 management systems, distributed storage and so on. And
17 so I think that these are just going to complicate the
18 picture even more because they just complicate what the
19 economics look like and how the post consumption load
20 patterns look.

21 Also, you know, at least in California the
22 market has been very successful. We've reached a
23 certain critical penetration level where most of the
24 early adopters have already adopted. And so now, we're
25 starting to see what does the full market look like.

1 What does the mass market look like? And I think that
2 the drivers for adoption for that mass market are going
3 to be very different than those from earlier adopters.
4 So, that's something that might throw a curve ball.

5 Okay, so in conclusion, I think that forecasting
6 DG adoption is quite hard, but the literature is growing
7 quickly. There are a growing set of models, algorithms,
8 data available to us. Researchers, both academic and in
9 the national labs, are actively researching this.

10 In my experience, the most successful methods
11 tend to use available data, historic data to calibrate
12 models, but also use scenario analysis to understand the
13 key tipping points of a system.

14 The next generation of forecasting is going to
15 need to include spatial components to it, especially for
16 distribution resource planning.

17 And then, as I just said, complementary
18 technologies, such as energy storage, electric vehicles,
19 et cetera, are going to grow in relevance, and
20 particularly as consumers start to switch to time-of-use
21 rates.

22 So, thank you for your time and I'll take any
23 questions in the available time.

24 CHAIR WEISENMILLER: Yeah, the first one is just
25 I think this is a general request of anyone doing a

1 presentation and they have a model. It would be useful
2 to have your -- you know, your R squared submitted in
3 the record. Obviously, I winced when you said .5 R
4 squared and it was like, oh, my God, I'm not sure I'd
5 buy coffee with .5 R squares. But, you know, we need to
6 get some way of cross comparing the different models.

7 MR. SIGRIN: True.

8 CHAIR WEISENMILLER: You know, and also to the
9 extent there's a clear description of what the key
10 variables are since, again, it seemed like some of the
11 variables, you could look at the size of your house or
12 you could look at income, you know, and they're
13 correlated. So, the question is what are you really
14 doing the regression against.

15 So, that just generally, I think we need to get
16 a sense of how good all the fits that people are looking
17 at.

18 I think the other thing is on the spatial side,
19 along with the sort of sunlight, one of things we need
20 to take into account is cloud cover. You know, at least
21 in California, if you're looking at doing the LIDAR
22 stuff, San Francisco's going to have a much different
23 story than Sacramento, just looking at coastal fog. So,
24 it's important to really start looking at that type of
25 stuff.

1 Also, just trying to understand how much --
2 again, this is great. But where NREL can really help us
3 is looking across the states. You know, it's always --
4 you know, we think we know what's the most important
5 things in California in terms of policies. But,
6 certainly, if you could then help us cross-compare it to
7 Hawaii, or New Jersey, or some of the other leading
8 adaptors and say, okay, what is really going on, that
9 would help a lot.

10 MR. SIGRIN: Sure, sure. Thank you.

11 CHAIR WEISENMILLER: Andrew?

12 COMMISSIONER MC ALLISTER: You know, I'm not
13 going to add on. I agree with those questions. I
14 guess, a lot of great stuff and really glad you're doing
15 that. And you're very familiar with Marin's work, and
16 Melody's doing a lot of good stuff, as well. So, I
17 mean, Texas and -- UT and some universities in
18 California, and a couple of other places really is where
19 a lot of where this work is going on. So, thanks for
20 that.

21 I think I'll let the proceedings continue. I
22 see Heather over there, looking a little bit nervous
23 about our time. So, but look forward to your
24 contributions to all this. This is a really good
25 discussion.

1 MR. SIGRIN: Thank you.

2 MR. GARCIA: All right, thank you, Ben.

3 So, now we have Erin Boedecker joining us via
4 WebEx, with EIA's perspective.

5 MS. BOEDECKER: Hello. This is Erin, the
6 bodiless voice on the phone. Thank you all for allowing
7 me to participate and asking me to explain a little bit
8 about EIA's perspective on PV adoption.

9 I will be speaking from the end use distributed
10 point of view. And let's go to the next slide and
11 proceed from there.

12 So, just a little bit about what I'll talk
13 about. First, I'll give you a look at our most recent
14 projections, just to see what differences we've seen
15 most recently in our outlook. And then, I'll talk about
16 our current methodology a little bit. And as I talk
17 about that, I'll talk about some of the issues that have
18 been touched upon and some of the ones we find when
19 we're trying to represent the nation as a whole. And
20 so, the second two bullets will kind of be intertwined.

21 And I'll finish up with some of our
22 considerations and thoughts going forward from this
23 point.

24 So, the next slide, please. So, our newly-
25 released Annual Energy Outlook 2016 incorporates the

1 extension in the Federal Tax Credit. And that, along
2 with our decreasing PV costs, relative to earlier
3 assumptions, has greatly increased our outlook for
4 distributed PV.

5 I know some questions were asked earlier about
6 the relative nature of residential versus
7 commercial/industrial. In this case, by the time you
8 get to 2040, we're looking about 26 gigawatts of
9 commercial capacity and 62 or 63 gigawatts of
10 residential capacity. And you need to consider that
11 nationwide there are a lot more households and roof area
12 from households than there are commercial buildings.

13 We look at it from the perspective of commercial
14 buildings as far as actual installed capacity. So far,
15 the commercial sector has adopted any of the industrial
16 installations and going forward we do have a size range
17 that we're looking at. Our industrial sector model does
18 not currently include any solar projections.

19 So, the next slide, please. Our current
20 methodology -- I think I'd like to back up just a little
21 from this. It does say that residential and commercial
22 projections are developed at the census division level.
23 I also want to point out that our end use models are
24 annual models. So, what we send over to the power
25 sector as generation or what we subtract from our demand

1 for electricity to go over for electricity demand that
2 needs to be met by the grid is an annual value, rather
3 than we don't incorporate seasonality in our end use
4 models.

5 Our only way to address that, at the current
6 time, is we ask the power sector to send us end use
7 level prices.

8 So, for PV we're looking at a cooling price,
9 rather than an average price for electricity. So, we at
10 least get some measure of the difference in price that
11 would be more related to when PV would be generating.

12 Our parameters are a lot like Ben just mentioned
13 on the Solar DS model. We use a 30-year discounted cash
14 flow in both the residential and commercial sector. We
15 look at technology costs and also performance. We
16 include federal subsidies and financing parameters, both
17 loan rates on the residential side, and we use the
18 mortgage rate, and on the commercial side we look at the
19 general loan rates for the commercial sector.

20 We also include any favorable depreciation
21 methods in there. So, we're trying to get a picture of
22 the actual outlay that businesses and homeowners will
23 go -- will see.

24 We, of course, look at solar installation, the
25 solar resource. And we do look at the electricity load.

1 And it says "average" here, but again we're looking at
2 the census division level. And so, on the residential
3 side we're looking at years to positive cash flow. The
4 commercial sector uses an internal rate of return to
5 determine how attractive the purchase is.

6 The next slide, please. Just to take a little
7 look at what we are assuming for our cost declines over
8 time, they have shifted a bit from last year's annual
9 energy outlook. And by the end of the projection
10 period, residential installed costs are about \$2,170 per
11 kilowatt DC and commercial costs are more in the range
12 of \$1,700 per kilowatt.

13 The next slide, please. So, I mentioned that we
14 project -- develop projections at the census division
15 level. But in order to get at the heterogeneity that
16 was mentioned in some of the earlier presentations,
17 we've incorporated niches within the census division by
18 overlaying maps of solar installation with electricity
19 rates, to come up with areas within census divisions
20 where you have more favorable, more attractive areas to
21 adopt PV.

22 On the residential side, just recently we've
23 taken a marginal price approach and we were able to use
24 zip code data from the RECS, the Residential Energy
25 Consumption Survey, that EIA conducts every four or five

1 years. And we were able to use unpublished zip code
2 level data to map with solar installation data at the
3 zip code level to get a more accurate representation of
4 the solar resource.

5 In addition, we were able to use monthly billing
6 data to develop more of a marginal price, rather than an
7 average price. And so, we're looking at these niches as
8 far as marginal price estimates, which I think will help
9 get us closer to looking at a rate structure than just
10 an average price overall. It also includes a measure of
11 the average roof area available to get to that technical
12 potential.

13 On the commercial side, we haven't had the
14 benefit of recent survey data. Just recently, in 2012,
15 Commercial Buildings Energy Consumption Survey data has
16 been published. And so, we're hoping to, as soon as we
17 have time, do a similar marginal price approach for the
18 commercial sector.

19 So, I won't go through all the sub-bullets.
20 Please go to the next slide. We do incorporate some
21 measure of the technical potential. In addition to just
22 looking at the average roof area per household, we're
23 looking at how much roof area is suitable for PV
24 installations. And these are our current assumptions.

25 We're looking forward to devouring NREL's recent

1 study to see if we can get a better, more accurate
2 depiction of our technical potential.

3 I guess I want to also point out that as our
4 assumed conformance improves in the projections, we also
5 recognize that that will increase the technical
6 potential because you can set more capacity in a smaller
7 area.

8 The next slide, please. So, those are measures
9 we've taken to try to incorporate more fully real world
10 aspects. But we don't fully capture some of the
11 details. And this slide points out some of those. We
12 can't really represent tiered rates. We don't have
13 specific net metering terms and conditions represented.
14 Although, we do have some consideration of variations in
15 policy across the country.

16 We use something we call interconnection
17 limitations, that are developed from the desires, state
18 level regulations and policies. We turn those into
19 factors that we aggregate up to the census division
20 level that gives a census division propensity to adopt
21 based on how easy it is to connect to the grid. And we
22 assume that those limitations will decrease over time in
23 our projections.

24 You can see for yourself some of the other
25 things that we can't -- we don't represent in our

1 aggregate model. And currently, macroeconomic and
2 social factors are not explicitly included in our
3 purchase decisions. We are looking at just years to
4 positive cash flow or how economically attractive it is.

5 For near term and actual installed
6 installations, we get around that somewhat by we
7 calibrate to whatever the most recent historical data we
8 have. And EIA's surveys haven't, in the past, captured
9 distributed PV to the extent that we have a full
10 picture. So, we've been using the State Renewable
11 Energy Council Reports that have come out, annually, and
12 aggregated up from their state level totals. And
13 currently, we're using GTM, the Green Tech Market
14 reports that they provide to CEA, as our basis for
15 installed capacity.

16 And then, we take into consideration the states
17 that have rebate programs that are substantial and try
18 to do additional near term adoption that's in addition
19 to whatever the model economically adopts.

20 The next slide, please. Policy-wise, we do
21 incorporate federal policies, tax credits. We are
22 technology specific, and so it's fairly easy for us to
23 incorporate specific tax credits for a technology. And
24 we do incorporate depreciation strategies.

25 On the power sector side, for utility-scale PV,

1 we incorporate renewable portfolio standards. We
2 haven't had the luxury of being able to incorporate
3 those at the end use level.

4 We don't incorporate state or municipal tax
5 credits explicitly. But as I mentioned, we try to
6 capture near-term adoption for states that do have
7 rebates, or also states with solar-specific targets near
8 term.

9 We don't explicitly incorporate net metering.
10 We actually assume global net metering in the sense that
11 we assume that the customer will recoup the retail rate
12 on whatever self-generation they have. So, our
13 interconnection limitations that I described get at
14 different policies in that regard.

15 And also, we don't explicitly include third-
16 party ownership. But the fact that we incorporate a
17 mortgage rate, we assume that for new construction
18 homeowners will incorporate the cost of the PV system in
19 with their mortgage. It's more favorable than assuming
20 that they pay the entire cost up front.

21 And I realize that I didn't actually put in a
22 slide that shows our penetration function. It is
23 similar to the Bass model that has been already shown on
24 the screen. We have an S curve for early adopters. And
25 we do have a maximum penetration rate of 75 percent of

1 new construction, even if you have payback of less than
2 a year. And that's to put in some limits that
3 incorporate that not every household or building will
4 adopt solar, even if it's of immediate benefit to them.

5 The next slide, please. I just explained how we
6 currently project PV adoption. We do have an
7 alternative method that's currently being considered.
8 It's more along the line of the agent models that Ben
9 just talked about. It uses statistical models with zip
10 code level data from states to estimate the effects that
11 macroeconomic and microeconomic variables make on
12 household decisions to adopt solar PV.

13 Some of the variables that are considered are
14 income, median income at the zip code level. And I
15 think that also would get closer to considering rates,
16 rather than just an average price.

17 Of course, the solar resource at the zip code
18 level. The retail rate, the number of households, also
19 households that have already adopted solar, to get at
20 the propensity to adopt, if your neighbors have already.

21 It does incorporate the installed price per
22 watt, for PV. And also, population density. It gets at
23 rural versus urban to some extent.

24 There is no explicit account for roof area,
25 which rules out a distinct technical potential. But the

1 population density is used as a proxy in this regard,
2 too. And it is calibrated to historical estimates to
3 adjust for policy differences.

4 So, if you go to the next slide, that's all I
5 have. I looked at the time and thought that this would
6 be about what I could fit in. As I said, I incorporated
7 some of the issues as I was talking about the methods.
8 But I'm open to questions.

9 So, thank you, again, for inviting me to
10 participate and I'll be happy to answer any questions
11 you've got. Thank you.

12 CHAIR WEISENMILLER: Great, thanks. I've got a
13 couple and these are probably framed in a way which you
14 can respond. Certainly, other folks can, in writing,
15 later do so. And these fit on both the plus and minus
16 side of the ledger.

17 So, what I'll characterize as the minus side of
18 the ledger, one of the things which we're struggling
19 with, particularly in the context of SB 350, which is
20 requiring us to do work on EJ issues, is that,
21 obviously, it's not -- everyone doesn't own their own
22 house. So, if you look at just the physical count of
23 houses, you know, and say let's diffuse out from there,
24 somehow if you're -- if you rent space, it's unclear how
25 we affect that market.

1 Or, similarly, you know, I've worked a lot on
2 the commercial sector. If the triple net leases, again,
3 you can go in and talk to them, it's just not going to
4 happen because of that separation of cost and benefits.

5 MS. BOEDECKER: Right.

6 CHAIR WEISENMILLER: Or, similarly, if you've
7 got a lease program, and all lease programs have a FICO
8 cutoff and it's getting lower and lower. But at some
9 point, if your FICO is below that bank cutoff, it's just
10 not going to happen. And so, we need to incorporate
11 those things.

12 And at the same time, in terms of policy
13 actions, when you talk about new construction, we're
14 actually looking forward to doing zero net energy
15 building standards in 2019-2020. Looking at
16 Commissioner McAllister who's, you know, on the other
17 dais is more in charge of that.

18 So, because we assume that even if it's
19 incredibly cost effective to do it when you're building
20 the house, that builders aren't going to -- you know,
21 again, there's the builder cost, there's the homeowner
22 savings. And so, we need to be figuring out in our
23 forecast what happens when we go ZNE.

24 And the other part I'm sure people are going to
25 ask us is that a number of major California

1 commercial/industrial customers are making big
2 commitments here. You know, Apple, Google, Kaiser, you
3 know, bit numbers of megawatts are coming in that, or
4 even the Department of Defense. You know, Secretary
5 Mabus is hitting or exceeding his goal of a gigawatt.

6 MS. BOEDECKER: Right.

7 CHAIR WEISENMILLER: So, you know, again, we've
8 got to somehow, in the residential/commercial space,
9 take into account some of these institutional things
10 because, ultimately, we have to come up with policies
11 this year on how do we overcome some of those
12 institutional things. But also, we can't miss the
13 commitments coming out from large users, the military,
14 and the impacts of our ZNE standards.

15 So, do you have suggestions, either right now or
16 in writing, on how we can address these three issues.
17 And certainly, again, encourage all of the other
18 speakers to help us think through some of those.

19 MS. BOEDECKER: Okay, so --

20 COMMISSIONER MC ALLISTER: You know, I'd just
21 add to -- oh, go ahead.

22 MS. BOEDECKER: Okay. Okay, so I guess I don't
23 have any ready answer as far as addressing institutional
24 adopters or actor agents, other than I think a lot of
25 places where this occurs are places where there are RPSs

1 in place so they get credit. There's some other
2 incentives for them. And, yes, they're corporate wide,
3 but a lot of the places that it's going in are places
4 where those incentives are in place, in one way or
5 another, whether it's tax credits, or whether it's
6 renewable energy credits, or whatever.

7 So, I do believe that to the extent that you're
8 already incorporating some of those policies or credits
9 that you'll pick up some of the larger adopters that are
10 out there.

11 But as far as explicitly taking that on,
12 incorporating I guess income levels for residential
13 might somewhat get at the renter issue where if they're
14 not -- if they're not owning the home, then they're not
15 likely to be -- less likely to be in the higher income
16 category and less likely to adopt.

17 COMMISSIONER MC ALLISTER: Yeah, thanks. I
18 guess I just want to put a finer point on what the Chair
19 said. I mean, I think part of the complication here is
20 that this is still a policy-driven arena to a great
21 extent. Maybe not what it was a few years ago but,
22 still, there's a new law, AB 693 I think it is, that's
23 going to fund 100 million times 10, over the next ten
24 years, 100 million a year for low-income, multi-family
25 housing, for example, so that's going to have some

1 impact. I think it's 300 megawatts or so.

2 And, you know, as the Chair mentioned, the
3 residential side ZNE by 2020 and commercial we're headed
4 to 2030. The outlines of those, you know, those don't
5 exist, yet. The outlines are still TBD, but we know
6 we're heading in that direction. So, how do we kind of
7 quantify that?

8 And I guess it leads to a bigger question, and
9 maybe it's mostly for Ben, but to the extent that
10 forecasting is about understanding uncertainty and that
11 this and the other wedges, you know, that sort of get
12 layered onto the demand forecast, in this arena how do
13 you quantify uncertainty? You know, and sort of say,
14 well, here's our best guess. Here's the curve, but the
15 bounds are this big or this big. And how does that sort
16 of propagate?

17 And maybe that, then, is a follow-on question
18 for staff about how that gets propagated into the
19 forecast, itself?

20 But you can triangulate with a bunch of models,
21 but at the end of the day you kind of end up with
22 uncertainty and there are ways to quantify that. And I
23 guess I'm wondering how much you guys have thought about
24 that?

25 MS. BOEDECKER: So, I guess I'll answer first,

1 since no one else has just jumped in.

2 COMMISSIONER MC ALLISTER: No, Ben was grabbing
3 his mic, but go ahead.

4 MS. BOEDECKER: All right. I think our answers
5 would be similar. So, our first approach at addressing
6 uncertainty in our forecast or projections is to run
7 alternative scenarios, just as Ben was talking about
8 earlier in his talk.

9 The new projections that I put up first are for
10 the reference case because that's out already. But in
11 another week or so we'll have all of our alternative
12 cases for the Annual Energy Outlook out. And included
13 in there is an extended policies case which extends tax
14 credits, at the federal level, at their current
15 percentage.

16 And it also extends the Clean Power Plan so that
17 there will be more stringent goals to meet there, as
18 well. And I think all of that feeds into providing that
19 range.

20 We have other cases that look at it from
21 different aspects. And also, we hope to do more
22 analysis, separate from our annual projections, that
23 will look at more scenarios for PV, in particular.

24 COMMISSIONER MC ALLISTER: Great, thanks.

25 CHAIR WEISENMILLER: No, that's great. And I

1 was just going to say, certainly encourage you to the
2 extent you're thinking of research or surveys in this
3 area, to the extent we can coordinate on the surveys or
4 research that would be great.

5 MR. SIGRIN: Yeah, thanks. I think it's a great
6 question. You know, ultimately, I guess what you're
7 asking is can we determine a prior distribution of the
8 uncertainty factor. And some of them we can, some of
9 them we can't.

10 I think one of the more trackable ones would be
11 technology costs. So, one of the things we do at NREL
12 is compile census forecasts of technology costs
13 reduction over time. From there you could estimate, you
14 know, the quantiles of uncertainty.

15 There's other ones you don't have any prior
16 knowledge. Rate restructuring, for example, is
17 something that there's just not enough empirical basis
18 to do so.

19 So, I would agree with Erin, most of the way
20 that we incorporate that -- unless we can have some
21 prior distribution, we generally run it through scenario
22 analysis. And mostly to understand what are the key
23 factors that could have, like I said earlier, a tipping
24 point in the system that would -- you know, not
25 differences of 1 to 5 percent differences, of 50 to

1 whatever percent. Thank you.

2 COMMISSIONER MC ALLISTER: Oh, go ahead, Asish.

3 MR. GAUTAM: Yeah, so regarding uncertainty in
4 our own demand forecast, we have three different
5 scenarios for the economic and demographic drivers. And
6 on the DG side that does impact our floor space estimate
7 for the commercial side, and population per household
8 and usage on the residential side. We've mainly been
9 focused on the handling of uncertainty on economic and
10 demographic scenarios.

11 But in the 2015 IEPR we also addressed
12 uncertainty in PV technology. We had some scenarios
13 from the PUC's (indiscernible) study. And then we also
14 looked at some differences in the NEMs, how NEM may
15 evolve over time. So, in the load demand forecast we
16 assumed that retail credits will continue, there will be
17 no other charges. And then, in the high-demand case we
18 imposed demand charges and fixed export rate for the
19 excess production.

20 These scenarios are kind of the only way we
21 have, the ability kind of puts some downs in a lot of
22 these things that are very uncertain. So, it's very
23 challenging.

24 COMMISSIONER MC ALLISTER: Yeah, yeah. So, but
25 in the forecast context I guess, if I'm understanding,

1 what you're basically saying is that sort of you pick
2 the scenarios that feed into the high, low mid cases --

3 MR. GAUTAM: Yeah, yeah.

4 COMMISSIONER MC ALLISTER: -- and sort of that's
5 how the variability is represented. Sort of not air
6 bars around each scenario.

7 MR. GAUTAM: That's right.

8 COMMISSIONER MC ALLISTER: Yeah, okay, that
9 makes sense.

10 CHAIR WEISENMILLER: Yeah, I would just note
11 that old classic financing energy efficiency, you know,
12 one of the books I edited, there was a paper by, I'm
13 trying to remember whether it was George Schaefer or
14 Derek Hansen.

15 Yeah. And basically, what we looked at on
16 uncertainty is -- the conclusion was macro things had a
17 bigger effect on projects than micro things. And so,
18 you know, you'd screw around a lot on cost of, say,
19 technology. And then there would be an oil price shock,
20 or an overall tax change, or restructuring would occur.
21 And, you know, then your investment either looked
22 incredibly stupid or incredibly smart, regardless of
23 everything else you had optimized on the micro level.

24 COMMISSIONER MC ALLISTER: A lot of this, to
25 me, seems like it really depends on if the overall rate

1 environment kind of supports, you know, allows enough of
2 a margin to be spread across from consumer to supply, to
3 service provider, to enable that package to be really
4 marketed en masse and get scale. You know, and I think
5 there's quite a bit of uncertainty but I think, you
6 know, not as much as maybe a lot of people think.

7 Anyway, that's my two cents. This is a great
8 panel, yeah. Great, thanks a lot.

9 MS. RAITT: So, we can move on to Chris Kavalec
10 next, or if you wanted to open it up to the stakeholder
11 response and comments.

12 So, next on the agenda was opening it up to
13 stakeholder response and comments. So, I don't know if
14 there's folks in the room who have any comments, or
15 questions for our speakers on that panel?

16 Otherwise, we'll just move on to Chris Kavalec.
17 Chris, great.

18 MR. KAVALEC: I am Chris Kavalec, with the
19 Energy Commission Staff. I apologize for cutting into
20 the lunch hour, but this should be relatively quick.

21 I have the distinct privilege of talking about
22 everybody's favorite topic, weather normalization. And
23 I'll start with a brief review of what weather
24 normalization is and why it's important.

25 When we do a forecast, a peak forecast for a

1 given planning area, what we have to do is weather
2 normalize peak demand to the last historical or base
3 year. In other words, estimate what peak would have
4 been in the base year had there been "historically
5 average weather".

6 The reason we have to do this is because our
7 forecast, itself, assumes average weather, except for an
8 adjustment that we make for climate change.

9 So, this weather-normalized peak serves as the
10 starting point for the peak forecast and, therefore, is
11 a very important consideration. The higher or lower as
12 your weather-normalized peak to begin with, the higher
13 or lower all else equal is going to be your peak
14 forecast. So, this generates a lot of discussion,
15 always.

16 The method that we currently use, we use a
17 regression analysis using the last three years' of
18 hourly load data that we get from CAISO, to estimate the
19 temperature response of load in a given TAC area, PG&E,
20 Edison, or San Diego.

21 And then this temperature response is applied to
22 historical temperatures going back 30 years, and that
23 gives us the distribution of annual peaks. And the
24 median of this distribution serves as what we call the
25 one-in-two weather-normalized peak demand for the last

1 historical year.

2 And other IOUs and CAISO have their own methods,
3 which all have strengths and weaknesses. So, everybody
4 comes up with a slightly different estimate or a
5 significantly different estimate, sometimes, for a
6 weather-normalized peak.

7 And a problem we've encountered in some of our
8 recent forecasts is that the IOUs and the Energy
9 Commission are not always able to agree on a weather-
10 normalized peak in a timely manner. Meaning, we are
11 sometimes still debating a weather-normalized peak right
12 up until the point where we release our forecast, and
13 people don't like that.

14 And this happens because, you know, the IOUs
15 have their own schedules, other things they're
16 concentrating on and we don't really have a coordinated
17 process. It's been more informal up to this point.

18 So, the solution I'm proposing is a structured
19 process for weather normalization analysis that includes
20 us, the IOUs and CAISO, since CAISO is one of our main
21 customers for our peak forecasts. And this process
22 would have specified and agreed upon start and end
23 dates, with an end date that would be -- that would
24 leave us enough time, and the end date -- the process
25 would end well before the forecast is released.

1 And this process would include a full discussion
2 of our methods, as well as the other IOUs and CAISO,
3 oral and written comments. There would be a couple of
4 in-person meetings, a DAWG meeting or two to talk about
5 this stuff and make presentations. And then, a
6 reconciliation process.

7 So, the key steps look like this. We would have
8 an in-person -- once we have some preliminary results
9 for our weather-normalized peaks, we would have an in-
10 person meeting, a DAWG meeting, and we would present our
11 method and results to the IOUs and CAISO. And we would
12 also provide documentation of our method and results.

13 And then, after this meeting, we would allow
14 IOUs and CAISO roughly a week to comment and ask any
15 further questions on how we came up with what we came up
16 with. And at this point, we would then hold the IOUs
17 and CAISO responsible for understanding our process, our
18 methods and our results, so we can avoid last-minute
19 questions on how did you get this number, that we've had
20 in the past.

21 Once we get past this part, we would have a
22 follow-up meeting, if necessary, if we find we have
23 significant differences with the IOUs and CAISO. And we
24 would begin sort of a reconciliation process and try to
25 come to agreement.

1 And another week, if necessary, to back and
2 forth, e-mails, phone calls to try to come to agreement.
3 And hopefully, by this time, we will have reached that
4 goal. But we are also leaving a couple days in the
5 process for upper management to get involved, if we
6 haven't gotten to any agreement by the end of this
7 process.

8 So, the schedule looks like this. We would
9 start in the middle of October. The reason we have to
10 wait until then is that we don't get our September
11 hourly loads from CAISO until the middle of October.
12 And September, obviously, is part of the summer and a
13 potential peak month.

14 Our preliminary estimates would be available at
15 the beginning of November. Now, I should mention this
16 is a specific schedule meant for the 2016 IEPR Forecast
17 Update.

18 So, in the beginning of November we have our
19 preliminary estimates of weather-normalized peaks for
20 the IOU TAC areas. Also at the beginning of November we
21 have our DAWG meeting and we go through, and fully
22 explain our method and our results, and get feedback.
23 And the next day, after that, we would provide full
24 documentation of our results.

25 And then the following week, the IOUs would go

1 back and evaluate our methods and numbers, and provide
2 any questions and comments. And again, if we have -- we
3 find significant differences, we have a follow-up in-
4 person meeting. And leave a week after that for further
5 discussion. And, hopefully, coming to agreement at some
6 point.

7 And then a couple days, as I mentioned, left in
8 case we are at an impasse with one or more IOUs and we
9 need management to get involved, in an attempt to
10 resolve the situation. Hopefully, that won't happen.

11 And so, by the middle of November we have -- we
12 will, hopefully, have our final estimates of weather-
13 normalized peaks. A month, at least roughly a month
14 before we release and present our updated forecast for
15 2016.

16 And this is what will happen at the end of this.

17 (Laughter)

18 MR. KAVALEC: The Energy Commission staff will
19 be -- are in the middle of this group hug because
20 everyone's so happy with our process.

21 So, we've talked to the IOUs and CAISO, and they
22 are on board and have committed to engaging in this
23 process during this roughly one-month period. But they
24 may have some comments of their own to make, after I
25 turn to the Commissioners for any questions or comments.

1 CHAIR WEISENMILLER: Yeah, actually, as you
2 know, this has sort of come up a couple of times at the
3 very end of our process which always sort of exasperates
4 some Commissioners, at least.

5 And so, when you talk about the issues, one of
6 the questions I thought -- one of the problems was the
7 choice of weather data. You know, my impression has
8 always been we tend to use publicly-available weather
9 stations, which tend to be the airports, or whatever.
10 And some of the utilities have their own networks of
11 weather stations. And, particularly, as we go to a more
12 and more disaggregated forecast, obviously one of the
13 things, particularly for peak load, what we'll have to
14 worry about is disaggregated weather information.

15 And so, just how well are the weather stations
16 correlated between what we use in our forecast and what
17 the utilities use in their forecast?

18 MR. KAVALEC: The weather stations are different
19 and they have different weightings, based on different
20 types of analysis. And that is always a concern.

21 In this process, what I am planning -- what we
22 are planning to do during this reconciliation process,
23 if it's needed, is run our models with both our weather
24 and the IOUs' weather and see how much difference there
25 is, and take it from there.

1 I'm hoping that that's not going to be the major
2 source. But if that is the major source, then we will
3 have to go down a step and start talking about our
4 weather stations and the weightings that we use.

5 CHAIR WEISENMILLER: Yeah, I would think, again,
6 we're just trying to clear out the clutter at this
7 stage. So, I would suggest, if we could get a filing in
8 this docket, coming out of this case that just does the
9 comparison of weather stations, and at least starts
10 framing things. So again, if we get to the very end
11 game this doesn't suddenly pop up again.

12 MR. KAVALEC: Okay.

13 COMMISSIONER MC ALLISTER: So, on a related kind
14 of note, is there agreement on how to then look at how
15 to take whatever data, if there's a consensus data or
16 weather data each party's using, and agree on sort of
17 the future -- the future proofing of that data and
18 adjusting it for climate impacts, et cetera? I mean,
19 are there various processes to do that or are you agreed
20 on that procedure, or is part of the goal here to agree
21 on that, itself?

22 MR. KAVALEC: No, this procedure is not to agree
23 on a specific method. It's to try and reconcile
24 differences in results. I mean, we don't -- you know,
25 one path to take would be try and get everybody to use

1 the exact same method. But that's not always good
2 because, you know, different perspective, different ways
3 of doing things give you different insights.

4 COMMISSIONER MC ALLISTER: Yeah.

5 MR. KAVALEC: We don't want to make everything
6 uniform.

7 COMMISSIONER MC ALLISTER: Yeah, okay. I mean,
8 I guess I'm just wondering, you know, to the degree that
9 climate impacts are something that should be talked
10 about, you know, to tee it --

11 MR. KAVALEC: Yeah and so --

12 COMMISSIONER MC ALLISTER: You know, we talked
13 about this in the last forecast, the IEPR, you know,
14 using TMY data, or whatever, is inherently backward
15 looking, so how do we adjust it for what's going to
16 happen in the future, we think, right.

17 CHAIR WEISENMILLER: Yeah, a couple of forecasts
18 ago one of the things we did was -- one question is,
19 once you get weather data, how many years of that are
20 you using.

21 COMMISSIONER MC ALLISTER: Yeah.

22 CHAIR WEISENMILLER: And we sort of shortened
23 our period. Edison was using -- I think we may have
24 been using 15 and they may have been using 30 or, you
25 know, whatever the right numbers were. But anyway, with

1 climate change, the notion was to go with the shorter
2 period so that, you know, we were more reflecting
3 current weather, and as opposed to weighting the longer
4 term.

5 MR. KAVALEC: That's right.

6 CHAIR WEISENMILLER: Yeah. So, anyway, that's
7 at least part of the mix. But I don't -- at this point
8 I don't think, although again that may be something
9 that's useful just to get down on paper so we -- that,
10 you know, if there's any big differences on the time
11 periods at this point, as much as potentially the
12 weather data, or the weightings. You know, there's all
13 kinds of magic that goes into the mix.

14 COMMISSIONER MC ALLISTER: Yeah, the last 15
15 years isn't necessarily the same as the next 15 years.

16 CHAIR WEISENMILLER: Yeah, right. But with that
17 note, I guess, I don't know if we need to come up to the
18 microphone, or in writing, or something. But I'm just
19 trying to make sure that, indeed, affected utilities
20 say, yes, we agree on this process. You know, this is
21 where we are now, at least for the process you're laying
22 out.

23 MR. KAVALEC: Yeah, so I'll ask the IOUs if they
24 want to come up and make a comment or two.

25 CHAIR WEISENMILLER: In the speak now, or else

1 we agree you bought in. Or, you can do written
2 comments, obviously.

3 MS. SHEN: My name is Hongyan Shen. I'm from
4 Southern California Edison. First, I'd like to thank
5 Chris for, you know, coming up with this proposal on
6 standardized weather-normalization analysis and build a
7 structured way for all the stakeholders to work with CEC
8 to, you know, reconcile any significant differences in
9 weather-normalization analysis.

10 As we all understand, this is also an important
11 part of the Commission's peak demand forecast. We
12 really appreciate the opportunity that this new process
13 will create for us. And, you know, we are looking at
14 getting more understanding through this process, as in a
15 way such that we can understand better what drives more
16 significant impact to the weather-normalized analysis
17 results. And, hopefully, bringing more refinement to
18 both CEC and our own analysis in the future, that we
19 could align our views more closely.

20 So, I think this is a great start. But at the
21 same time, I think there's a lot more we need to gain
22 understanding from both ends. I agree, you know, the
23 questions you raised are great questions in terms of
24 whether weather station data drives more differences, or
25 climate change, or other part of the -- you know, the

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 other drivers may impact analysis results more. And
2 that's, you know, hopefully the process will bring us
3 more understanding in those areas that we would really
4 build more consensus more easily in the future.

5 CHAIR WEISENMILLER: Well, I think the last --
6 I'm not -- two times ago, and perhaps the last time
7 there was also a data issue. That, you know, obviously,
8 Chris gets data from the ISO and under protective order.

9 You have data. One would like to believe the
10 two match, and somehow they don't.

11 MS. SHEN: Yeah, that --

12 CHAIR WEISENMILLER: And so, one of the other
13 things which I was sort of determined to do was to get
14 the data to match this time. AT least any -- along with
15 weather normalization, that basic data issue,
16 quote/unquote, be resolved.

17 MS. SHEN: Yeah, we'd definitely like -- that's
18 still on our wish list. But I'm very encouraged, Chris
19 had come with the great idea of getting us to work
20 closely with CAISO so that we can work out a realistic,
21 applicable solution to obtain similar data that CCU
22 ties, in a way that we can eliminate those drivers in
23 terms of impacting all our results.

24 CHAIR WEISENMILLER: I've told Ron Nichols that.
25 You know, this happened to me twice. So the third time,

1 I'm just going to lock everyone, bring a sleeping bag,
2 you're locked in a room and don't come out until you
3 agree.

4 (Laughter)

5 CHAIR WEISENMILLER: So, you know, there's a
6 process between now and the end of the year, work
7 through the issues or at the end it's going to be that
8 don't go home until. So, let's work it out now.

9 MS. SHEN: Yeah, like Chris painted out here, I
10 hope we can hug each other earlier than later.

11 (Laughter)

12 CHAIR WEISENMILLER: Great, thank you.

13 MR. SCHIERMEYER: I'm Ken Schiermeyer from San
14 Diego Gas & Electric, the Electric Forecasting Manager.
15 And I'd like to thank Chris for suggesting this process.
16 We're committed to it, to the end of the year to reach
17 some sort of reconciliation.

18 You know, in looking at the schedule, I agree
19 with Commissioner Weisenmiller that just the data, you
20 know, making sure the data is one in the same is going
21 to be, you know, the first priority. You know, in
22 speaking to the weather data, we try to use publicly-
23 available weather data. But sometimes it's missing so
24 we have to fill in blanks.

25 So, in the past we've provided that to CEC and

1 plan to continue to do that going forward.

2 The schedule, I'll say one thing, the schedule
3 seems pretty fast. So, I would like to suggest, where
4 possible, you know, say it's weather data, if we can do
5 it beforehand. And when the schedule starts, we focus
6 on the methodology, you know, where possible. I know
7 the load data comes from CAISO and it's not available.
8 But maybe, if it's partially available, maybe we can
9 compare as we go along. And we'd be willing to do that.

10 CHAIR WEISENMILLER: That would be great. I
11 mean, obviously, we have last year's data. We don't
12 have this year's. But, yeah, the more we can debug the
13 differences from last year then, presumably, that gives
14 us a head start on this year.

15 MR. SCHIERMEYER: I agree.

16 CHAIR WEISENMILLER: Okay.

17 MR. KAVALEC: Yeah, if we can do some of these
18 comparisons beforehand, such as weather, and the IOUs
19 have time to do it, that would be great. Thanks.

20 MR. RAY: Good afternoon, everybody. My name is
21 Sam Ray, from PG&E. I'm an Analyst in the Forecasting
22 and Research Department. I'm admittedly new to this
23 process, so my comments will be brief.

24 But I appreciate Chris's proposing this new
25 schedule and I understand that it has been trying in the

1 past. So, while I can't speak to the methodology issues
2 at this point, I would echo the previous comments that
3 getting this process started sooner than October, at
4 least in identifying the correct data sources would be
5 great.

6 And for us, at least, that October 14th, I
7 think, date for comparing the weather-normalized peaks
8 could be a little bit early, just in terms of gathering
9 the recorded peaks during the summertime. So, I think
10 it's a work in progress, but we're definitely supportive
11 of making this a more formalized process. Thank you.

12 MR. EMMERT: Hi, I'm Bob Emmert with the
13 California ISO. I'm Manager of Interconnection
14 Resources and my team does the summer-ahead type
15 forecast. And we've worked with Chris in the past. And
16 we were able to work through the weather-normalization
17 process in the past. But I really appreciate what Chris
18 is doing here to make that more formal, and more of an
19 iterative process to come to a solution that I think is
20 going to work out much better for all of us.

21 And we'd be quite willing to work with
22 everybody, related to the data issues, to make sure that
23 we're all using consistent and understanding the
24 datasets that we are using, and what they do represent.
25 So, we appreciate this process and support it.

1 And I would agree, as well, that to get ahead of
2 the curve and have some meetings ahead of time, prior to
3 the schedule actually being officially kicking off,
4 would really be helpful. Thank you.

5 CHAIR WEISENMILLER: Anyone else?

6 Yeah, Chris, this may be great DAWG workshop
7 stuff between now and when Andrew and I have to dig into
8 it again.

9 MR. KAVALEC: I'm sorry, the --

10 CHAIR WEISENMILLER: I said, some of the follow
11 up might be great DAWG group meeting stuff before you
12 come back to deal with Andrew and I.

13 MR. KAVALEC: Yes, definitely.

14 CHAIR WEISENMILLER: Yeah.

15 So, Heather, it looks like we are --

16 MS. RAITT: Ready for our lunch break.

17 CHAIR WEISENMILLER: Yeah, I think so.

18 MS. RAITT: And we were going to come back at
19 1:15, is that --

20 CHAIR WEISENMILLER: Yeah, let's do 1:15. Yeah,
21 let's crunch along a little bit. Thanks.

22 MS. RAITT: So, we'll try to get back on
23 schedule and we'll come back at 1:15. Thank you.

24 CHAIR WEISENMILLER: Great.

25 (Off the record at 12:25 p.m.)

1 (On the record at 1:21 p.m.)

2 MS. RAITT: Welcome back to the IEPR Workshop on
3 Methodological Improvements to the Energy Demand
4 Forecast for 2017 and beyond.

5 So, our panel this afternoon is on the Analysis
6 of Potential Shifts in Peak Hour Caused by Demand
7 Modifiers.

8 And our first speaker is Jeff Billinton, from
9 the California Independent System Operator.

10 MR. BILLINTON: Good afternoon. As indicated,
11 my name is Jeff Billinton, with the California ISO. I'm
12 just going to give you a bit of an overview of the
13 forecast and the peak shift impact, particularly as
14 we've seen with the PV. And the impacts for the ISO,
15 particularly from the transmission planning perspective
16 as we're going forward.

17 And also, just to echo in terms of Chairman
18 Weisenmiller's comments as to the need to make sure
19 we're consistent, the work that we've done to ensure in
20 terms of between the processes. Particularly, the
21 inputs, the forecast inputs between the ISO's planning,
22 the CPUC's long-term procurement. And that's a major
23 focus as we look at these kind of components is ensure
24 that we're also consistent as we look at these impacts.

25 Because as we look at it, this is directly out

1 of our 2016-2017 transmission planning process, we
2 utilize the CEC's forecast. We're using the mid-
3 forecast. As well as we're using the AAEE as identified
4 in the IEPR. We use the mid-AAEE for the system wide
5 studies and also in our economic analysis. We use the
6 low mid-AAEE in our local area studies. And like I say,
7 it's consistent with the forecast.

8 And in this year's, in the 2015 IEPR, the
9 identification of PV and the impacts was identified as a
10 potential with the peak delay, or peak shift and the
11 impacts of it. However, the base forecast has --
12 doesn't take into consideration the peak shift impact.

13 In the ISO's transmission planning process, we
14 were utilizing the CEC's forecast as the base, as it is
15 in the IEPR, as we're going forward. As with the NERC
16 reliability standards that we follow, we also are doing
17 some sensitivities. This is one of them as we look at
18 outputs of generation or those components.

19 But the base that we're using is the CEC's
20 adopted forecast going forward.

21 And so, as we look at the peak impact, this
22 graph is directly out of the 2015 IEPR Forecast
23 document. I took the PG&E -- there's three. There's
24 one for PG&E, one for SC, and one for San Diego. And
25 for illustrative purposes, the line represents at the

1 time of peak, with the PV profile. What is the PV
2 output at that time of peak? And that's what's then
3 used in our studies as we look at the PV output at the
4 time of peak.

5 What we notice, as we're working with the PV,
6 and if you take the PG&E, the load doesn't drop off
7 significantly as the hours go out, but the PV drops down
8 significantly. And so, if you're looking at in terms of
9 PG&E's forecast or area, the forecast peak was at 5:00
10 p.m. If we look in terms of and shift it to 7:00 p.m.,
11 the PV is down to a small percentage. And these are
12 per-unit of the peak load and the PV profile. But the
13 load, itself, is still at a fairly high level with the
14 PV is down at a reduced level.

15 And this, the next graph that we've looked at it
16 is this is taking the data from the CEC forecast, and
17 what the peak forecast would be. The blue line would be
18 the gross load, which is also of importance to us as
19 we're doing the transmission planning. The green line
20 then takes into account -- or, actually, the bottom red
21 line then is based upon the profile from the previous
22 slide that I'd shown.

23 And the magnitude of distributed generation that
24 is assumed in the IEPR forecast, for the PG&E area, that
25 then leads to the green line, which is then the net load

1 forecast on the PG&E TAC area.

2 And as you see, in terms of during the peak
3 time, it starts to -- basically, the peak from the gross
4 is decreased based upon the output of the PV. That is
5 being identified at that time as kind of the output.

6 But as we look in terms of to where the actual
7 peak is, the peak is actually at 7:00 and at a higher
8 level. In the case of this, it's about a 2,000 megawatt
9 difference on the PG&E area. And these are just -- this
10 is in terms of just looking with the data that was in
11 the forecast, it has an impact.

12 And as I say, this has a similar impact but is
13 varying based upon whether it be SC or San Diego's area,
14 because the peaks are slightly different. Peaks start
15 at about 4:00 and shift anywhere from 5:00 to 6:00 in
16 the SC and San Diego areas. But the principle is the
17 same.

18 And so as we're looking at these, from the ISO's
19 transmission planning perspective, we need to make sure
20 that we're planning based upon the system peak. The
21 NERC Reliability Standards, one of the conditions for
22 the planning assessment is that it's studied under peak
23 conditions. And with the peak shift in impact, just in
24 terms of the question of the base forecast not taking
25 the shift in, is not the peak that actually will

1 potentially occur as we're looking forward. And so,
2 that's one of the ones we've done it as a sensitivity.
3 But it's in the base, as we're going forward, needs to
4 be what is considered.

5 And as we'll hear, in terms of there are
6 different methodologies to be able to look at how do we
7 go forward with developing or determining this, is there
8 other impacts other than the PV, as well, be it the
9 AAEE, or the electric vehicles that have an impact on
10 the peak as well.

11 But that's -- from the planning perspective, the
12 peak is a critical component for what we need to make
13 sure we have that reflected as we're looking at what are
14 the needs of the transmission system.

15 The other, the impact of having the reduced, as
16 we look at it right now is it understates the need in
17 the future. Or, as we look at it in terms of existing
18 approved projects, the need for them, but with the
19 uncertainty of the load forecast or the load being
20 actually higher than the base that we have. Having to
21 try to manage the issues of that uncertainty that this
22 creates.

23 And I will indicate, in terms of as we're
24 looking at some of the areas, and some of the areas that
25 have already some significant penetration levels of

1 distributed PV in those areas, we are actually
2 experiencing the peak shift in existing, like in 2016
3 time frame. The Fresno area is an example that we're
4 actually seeing that the peak is actually shifting to
5 the 7:00 time period today, based upon having
6 distributed generation in those profiles, having the
7 impact on the peak during the daytime period already.

8 So, that's, just to give in terms of context, in
9 terms of from our need, the peak, and what we see or saw
10 in terms of working with Chris. We've been working with
11 Chris with regards to this, in discussions, and we would
12 move forward. But that's the issues that we see right
13 now so --

14 CHAIR WEISENMILLER: Thanks. Obviously, we're
15 all interested in getting the right forecast. And at
16 the same time, certainly, one is we're looking for
17 people's data. You know, I know the ISO is sort of on
18 one side of the meter. But, basically, if there's any
19 ways you can help us really dig into the data questions,
20 you k now, what's really going on?

21 And I know the ISO's done some work trying to
22 figure out, as you look at the duck chart, which I'd
23 have to say is related to the PG&E igloo chart was
24 another way of getting at the same question, is you've
25 been trying to deal with what's behind the meter that

1 you can measure.

2 So, as staff tries to look at interconnection
3 data, what data, if any, does the ISO have on what's
4 going on behind the meter? I assume nothing, but
5 checking.

6 MR. BILLINTON: Yeah, I'd have to check with
7 Bob, but I don't believe we actually, really have much
8 that would be behind the data -- or, behind the meter
9 that we could use. We're really looking at it from the
10 system data perspective on the transmission system.

11 But you're right, that data has a significant
12 impact on how to take that into consideration for those
13 impacts.

14 CHAIR WEISENMILLER: Yeah. Well, certainly,
15 anything you have that might be useful, we'd appreciate
16 it.

17 MR. BILLINGTON: Okay. Yeah, appreciate that.

18 CHAIR WEISENMILLER: Great. Andrew?

19 COMMISSIONER MC ALLISTER: I guess on the -- you
20 could talk about just the level of geography or level of
21 granularity, I guess, of the analysis that the ISO's
22 typically doing? I mean, you sort of highlighted one
23 service territory, but I bet you can drill down to load
24 pockets or whatever other units of analysis that you
25 think are important. And where is that now and where is

1 it going?

2 MR. BILLINGTON: With regard to the forecast,
3 itself, it's at a fairly high granular level of the
4 utility's service territory area and how far it goes
5 down in the -- in the CEC forecast, itself.

6 And then to develop, in terms of our
7 transmission planning models, we work with the
8 utilities, themselves, who do the allocation to the Bus,
9 taking the CEC forecast as the starting. And in the
10 case of the PV, so as we look at it, trying to model the
11 gross load that's there. And then the PV at the
12 identified at-peak level is what's in the -- we study in
13 the cases.

14 So, the utilities aggregate or disaggregate that
15 to the Bus levels for us, based upon their distribution
16 information, and as we go forward.

17 In this year's transmission planning cycle, this
18 is the first one that we're -- in the increase of the
19 penetration of distributed generation that is included
20 into the forecast, we're modeling the gross load plus
21 the PV into our base models. Which is important -- less
22 important from a study State type model, because the net
23 is probably adequate.

24 But as we get into dynamic impacts, the gross
25 load and what generation is responding to that is

1 critical for us. So, we use a lot of input from each of
2 the utilities as to the disaggregation of that. And
3 also, they're using, from their DRPs, and the
4 information they have of where is the projected growth
5 in the PV, in the development of the models.

6 COMMISSIONER MC ALLISTER: Yeah, okay. So,
7 basically, at the Bus level is where you're --

8 MR. BILLINGTON: Yeah, that's what we need to be
9 able to model so that it gets the transmission flows.

10 COMMISSIONER MC ALLISTER: I mean, are you
11 noticing that there are -- I mean, depending on
12 penetration at a given locale, you're noticing that that
13 impacts the ramp. And that's sort of what you can see
14 looks different depending on how you analyze what you
15 can't see behind the meter?

16 MR. BILLINGTON: Yeah, well, that's one of the
17 challenges of the behind-the-meter is without having
18 visibility the forecast of it is difficult. Especially,
19 you're meaning in terms of the operating time frame, as
20 well, right now. And yeah, so if it's not there, it's
21 an uncertainty, kind of in the operating in that realm.

22 COMMISSIONER MC ALLISTER: Okay, thanks.

23 CHAIR WEISENMILLER: And I guess actually the
24 one thing we should make sure going forward, as to the
25 extent you've got the DER pilot now, at this stage, and

1 going forward as that plays out more and more, again, we
2 need a way to figure out how to get data from that.
3 But, presumably, modifying those subpoenas.

4 MR. BILLINTON: Agreed.

5 CHAIR WEISENMILLER: So, thanks.

6 MR. BILLINTON: Yeah.

7 MS. RAITT: Thank you. Next is Cary Garcia from
8 the Energy Commission.

9 MR. GARCIA: All right. So, this is our Demand
10 Analysis Office Preliminary Analysis of Peak Shift. I
11 think I'm going to basically review a lot of what Jeff
12 just said, with a little more detail into how we try to
13 approach it, in this simplified example that we have so
14 far.

15 As you can see, later on we're going to talk
16 about long-term hourly load forecasting, so a lot of
17 this analysis is going to kind of go into that at a
18 later term, and especially in more detail at the hourly
19 basis.

20 I'll explain a little bit more, but this is kind
21 like a snapshot view that we've drawn out. So, it's a
22 little limited at this point.

23 So, just some quick background. The way our
24 forecast works, we have our sector models and that kind
25 of gets input into our HELM model, our hourly load

1 model, and then we get our peak shapes or our peak value
2 for the forecast.

3 Unfortunately, this -- the underlying assumption
4 here is that that peak shape kind of stays the same out
5 into the future. So we know, now, that's not a good
6 assumption to have going out into a 10-year forecast,
7 especially.

8 So, there's plenty of load modifiers out there,
9 in addition to PV, that we need to incorporate in order
10 to have this peak shift effect, not only the hour, but
11 the magnitude incorporated into the forecast into the
12 future.

13 And so here, I mean, some of the consequences.
14 ISO just came up and explained, you know, our forecast
15 gets put into all these other analysis. And so, if you
16 have this bias as far as the peak shift goes, that's
17 just going to carry over into everything else and then
18 we end up with trouble later on. So, that's something
19 we need to address and something we don't want to
20 happen.

21 And as I said, behind-the-meter PV is one of the
22 biggest issues, but we also have electric vehicle
23 profiles that we need to take into account in the
24 future. Additionally, energy storage, time of use
25 pricing, which will be happening, and our hourly AAEE

1 impacts.

2 Currently, as far as electric vehicle profiles,
3 we do have a contract with Idaho National Lab and
4 they're working on getting us those profiles, so we'll
5 be able to incorporate that into this analysis pretty
6 soon.

7 So, just some information on the data and the
8 approach that we took. So, our load data is coming from
9 the 2015 ISO EMS data. We've generated hourly AAEE
10 savings that we've used in other analysis. And then we
11 took the profile that we've used for our forecast for
12 EVs, and then added that into some of the graphs that
13 I'm about to show. So, that EV forecast is basically
14 translated into hourly impacts for us, on like a typical
15 summer day. So, it's an average type of, I guess,
16 metric.

17 And then our PV data, as Asish mentioned, comes
18 from the CPUCs NEM interconnection data. So, we have
19 that current through 2015.

20 So, once again, we have the hourly EMS data and
21 we have the estimated PV production that Asish was able
22 to put together for me. We combined that to recreate
23 the consumption of each day of 2015. We scaled that
24 consumption value, based on our forecast, out to 2026.
25 And then, we re-estimated meter load by subtracting PV

1 and the AAEE impacts from the adopted forecast.

2 And so, in this case what I'm showing or what
3 I'll be showing is just some snapshots of what some of
4 these days look like. So, basically, to observe whether
5 or not this peak shift is happening and then what the
6 magnitude of that could possibly be.

7 So, just some simple review of the findings.
8 So, in this simplified projection we do find that
9 included these effects does have shifts pretty soon.
10 Here I say 2017, but you can kind of see it now. And as
11 Jeff said, he's seeing it now, too, especially in those
12 local areas.

13 And then, so the results here, we definitely get
14 a better idea of the timing and magnitude. But as I
15 said, this is definitely a simplified way to look at it,
16 as a snapshot, and it will have to be integrated into this
17 hourly forecast in the future.

18 And lastly, we've kind of focused on like the
19 peak situation, but there is some interesting -- just
20 some interesting shapes to kind of look at when you look
21 at off-peak, and some weather phenomenon that kind of
22 come into play.

23 So, here's one way to look at it, pretty simply.
24 So, I don't have 2015 on here, but if you look at the
25 2017 values for these three days in September, that I've

1 simply scaled out to 2020 -- well, let me step back a
2 second. So, you have to remember the 2015 weather in
3 here just kind of gets carried over forward. So, all
4 the consumption shapes and all the associated, like
5 economic effects that could be in there are just carried
6 over, it was just extrapolated out a little further.
7 So, you have to reference it as everything being in 2015
8 time. Although, the growth has been applied to it.

9 And so we start, generally, so September 8th we
10 start hour 17. And then, by 2020, we see the shift one
11 hour going out, and that continues out to 2026.

12 In the case of September 9th, we see a much
13 bigger shift. But what we're seeing here, though, is
14 actually there's some -- there's the shape of the
15 consumption has been dragged out a little longer. And I
16 believe it's due to the temperature effects that are
17 happening here. So, that's something we need to take a
18 look at and how to -- it would be useful to be able to
19 pull temperature out of there and kind of see what this
20 looks like, and then kind of add it back in and play
21 around with this a little bit.

22 Just to kind of start off with like a baseline,
23 a normal year would be useful for this.

24 And then, similarly, with September 10th we see
25 this hour 17, and as soon as 2020 rolls over, we see the

1 shift go over and that carries forward.

2 I think from some analysis you wouldn't see a
3 shift continuing forward, right, you'd kind of get to a
4 certain point, this late evening time, when everybody's
5 home, and it would kind of stop from there. So,
6 hopefully, we don't have any weird consumption hours in
7 the future and we have to do another set of shifting.
8 But I don't think that will be the case, at least in the
9 near term.

10 So, here's a little graphical representation of
11 what's going on. As you can see, real quickly in that
12 September 9th term, you can see that load kind of
13 carrying out. But this, now, as the load starts growing
14 that the PV production starts growing, you see this
15 belly start to form and that load shoots up to that hour
16 of 20 time frame there.

17 And this is another representation of
18 specifically that September 9th, but grown out to 2026.
19 So, right at the top there we have our consumption
20 shape. And Jeff had a similar graph earlier. We
21 subtract out that PV that's happening and you end up
22 with this little green line. So, it's about 4,000
23 megawatts of PV. Subtract out the AAEE and that leaves
24 you with this meter load, where our estimated meter load
25 was. And that's kind of showing you what the effect is

1 here.

2 But if you look at that green line further,
3 you'll see that the PV production basically drops off.
4 And this 1,400 megawatts of EV here is -- I should have
5 made a correction here, but that's not actually
6 happening at that peak time, which was about hour 16, I
7 believe. That would be happening at hour 20. So,
8 that's just adding to this shift that's going to occur
9 in the future.

10 And this is just a breakout for the individual
11 TAC areas. So, in this example here, for this
12 particular day we saw a peak shift of just an hour. But
13 you can see the little breakouts of the differences in
14 hours. The energy efficiency impacts are still kind of
15 carrying over so that's adding to this effect, too. But
16 then you can see the PV production drop significantly.
17 And then you have a little bit of EV loading coming on,
18 too, at the end of the day.

19 The same thing with Edison. A slightly
20 different shape, but same idea here. You see this
21 little peak shift that occurs. You can look at the
22 differences between the PV production has dropped
23 significantly, again. A little bit more EV production,
24 but the AAEE is still relatively the same.

25 A little different with San Diego's case. I

1 believe, as I mentioned earlier, this is a weather
2 phenomenon that I think is occurring here. The
3 temperatures were pretty extreme and stay -- I think
4 this is like 99, 100 degrees, around that, so it's
5 pretty hot for San Diego's weather. But the same story.

6 In this case, though, PV production is gone
7 completely, but you have a fair amount of EV charging.
8 And AAEE has dropped a little bit, but still pretty
9 high.

10 And so, observing shoulder months, you kind of
11 see a little different story. You see a little belly
12 start to form with the PV production and a little bit of
13 variability in the production of PV.

14 So, one thing that I found, just in this
15 particular set of dates here, is a significant belly
16 forming when you start growing this out and the ramp
17 that would have to occur to kind of come back up to that
18 peak. So, about 3,000 megawatts between those four or
19 five hours.

20 And if you look at September 2nd, when I sum it
21 up to the ISO, it's a little difficult to see. But if I
22 were to show you San Diego here, you would see a lot of
23 up and down variation that's happening on that date and
24 it's obviously going to be cloud cover that's coming
25 into play. So, that's just another thing we need to be

1 taking into account in this work house. You know, does
2 that variability need to be included and how much of it.

3 So, just some conclusions real quickly. And
4 this is basically steps forward that we need to
5 incorporate into this. One of the issues is the EV
6 profile that we currently use is definitely very
7 generic. Having these more accurate profiles from real
8 data in the next -- I think we're going to use 2013-2014
9 data and try to extrapolate this out a little bit to
10 kind of get an idea of what those real profiles are.
11 Because they're definitely not the same for across the
12 State. I'm sure there's going to be differences and
13 patterns are going to form when we have a better idea of
14 how these operate.

15 Additionally, storage profiles will be very
16 useful in this because we -- I think we -- it's not very
17 clear exactly how storage is going to work. We have
18 our -- I mean, we have a general idea on what's going to
19 happen based on how, you know, you want to buy cheap and
20 sell high, right. So, we kind of know what's going to
21 go on there. But having some real data on that would be
22 very useful for this analysis.

23 And lastly, time of use would be very important
24 to incorporate here. But the same thing, I think -- I
25 guess time of use, if the prices are a little low during

1 that belly time, you kind of know what the effects are.
2 But it would be really useful to spend the time to study
3 that and see how that's going to be different across the
4 different planning areas.

5 And then, lastly, the weather variations for
6 these hourly forecasts that Chris will have will present
7 next -- you know, do we need to normalize this based on
8 history. And then, we kind of talked about this with
9 weather normalization, I guess. If we're going to start
10 normalizing the weather, that component, then our PV
11 production for this analysis needs to be also, possibly,
12 normalized. But at the same time still include
13 variation for cloud cover and other phenomena that can
14 affect this.

15 One issue that we've discussed before is,
16 actually, during peak time if the temperatures do get
17 hot enough, you will see a little dip in your production
18 from PV. And so, that's something we really need to
19 think about, I think, as we move forward.

20 And then, this is probably the biggest part,
21 biggest caveat I would say, is that the baseline
22 consumption shape that I've showed here is just 2015.
23 We haven't incorporated any of the variation that could
24 happen or the changes due to the economy, or behavior
25 would be another thing that we need to incorporate. So,

1 that hourly forecast is going to be really critical for
2 us to include this peak shift in.

3 So, that's kind of the bulk of my presentation
4 here. Any questions? Comments?

5 CHAIR WEISENMILLER: I think probably the
6 interesting issue to really think about is, again, just
7 trying to set priorities on where we're going forward.
8 Certainly, we need to be doing this. The question is
9 sort of the peak versus the average or that whole
10 spectrum in between.

11 And I suspect, for like the NERC stuff, you need
12 to think somewhat on -- spend some real attention on the
13 peak question and on a lot of other things we're
14 looking, procurement or transmission. You know, a lot
15 of other things are going to be much more driven by
16 what's more expected case. Right. And so somehow as
17 you -- then which, again, if we really decide we really
18 have to get the peak right, then you're going to have to
19 take into account the solar production fall off and/or
20 how much -- I think, the historical metric is 1 in 10.
21 We know climate's changing. You know, certainly some of
22 the stuff from Scripps indicates that. You know, say in
23 Sacramento, you've got a real shift up generally on the
24 temperature. And the sort of all-peak is sort of
25 temperature -- the deltas are reducing going forward and

1 that certainly has other implications.

2 You could discover a lot of those transformers
3 are blowing. And between that effect and the EV effect,
4 you know, the charging effect.

5 So, again, I think we probably need to be
6 thinking pretty consciously what we need to do on peak
7 but, at the same time, trying to really push the sales
8 part forward, too, on average.

9 COMMISSIONER MC ALLISTER: Yeah, I guess I'm
10 wondering, well, what you asked about the data from the
11 ISO, you know, DR pilot. I mean, it seems like to me
12 key variables here, sort of targeted energy efficiency
13 storage, demand response, really on the demand side.
14 Because it seems like those resources are going to be
15 really key to have data about so you can sort of unpack
16 what's really going on in any given area.

17 So, I want to just encourage, again, data
18 generation, whether it's at the ISO, on the wholesale
19 side, or with the PUC and the IOUs on their retail
20 demand response. Get data from that in sort of as much
21 detail as is reasonable to be able to, you know,
22 translate it over to the different elements of the
23 forecast. Because I think those effects are likely to
24 be pretty sizeable.

25 MR. GARCIA: All right.

1 COMMISSIONER MC ALLISTER: Thanks, Cary.

2 MS. RAITT: Thanks, Cary.

3 Next is Hongyan Shen from Southern California
4 Edison.

5 MS. SHEN: Thank you, Commissioners. I'm really
6 honored today to have the opportunity to present the
7 simple analysis SCE performed early this year, and share
8 it with both CEC staff and the CAISO team in terms of
9 the bringing more recognition to the peak hour shifting
10 pact, our peak forecast.

11 As I enjoyed the morning discussion about how to
12 improve our solar PV forecast, I really realized that as
13 we bring more common recognition of those challenges on
14 the solar PV forecast, it's also very important that we
15 help to bring the common stating on the peak hour
16 shifting pact. As we gain that common understanding, I
17 think it really provides us more room for the future
18 improvements, you know, on the peak forecast.

19 So, on that note, I really wanted to thank both
20 CEC staff and the CAISO team for their openness in
21 working with us and really engaging through the whole
22 process to help us all gain that common recognition. We
23 really feel that we were supported through the process.

24 So, let me just jump into the presentation. So,
25 we, SCE has observed up to now that our annual peak hour

1 has really shifted. If we look a few years back, in
2 2012, which is the orange line, and we did see that our
3 peak hour is hour 16, the 4:00 p.m. in the afternoon.
4 So, a few years ago we wouldn't even bother to think
5 about, you know, where is the next year's peak hour.
6 But things develop rapidly.

7 So, by 2015 we already saw that our peak day
8 load profile got shifted. And as we recognized that our
9 peak hour, highlighted by the green line, it's been
10 shifted to hour 17. So, that's kind of the intuition we
11 gained from the empirical observation that we need to
12 build in some consideration of this annual peak hour
13 shift.

14 To help people understand, you know, how we are
15 looking at our annual peak hour being shifted, we really
16 just looked at, you know, how much solar, the increasing
17 solar capacity we're getting from the system could bring
18 that impact to our peak hour.

19 And this illustrated example starts with, you
20 know, our projected initial demand, which is highlighted
21 by the upper yellow area. And that, you know, our
22 initial demand, without factoring in the incremental
23 solar PV capacity to our system, you know, does have
24 peak hour of 16.

25 However, if we assume that we're going to bring

1 additional 4,000 megawatts of solar capacity onto our
2 system, we actually would be looking at the new area
3 that's covered by the green area and, you know, that
4 curve would yield a peak hour of hour 18.

5 So, how do we analyze this peak hour shift? We
6 have developed the next two scenarios to help look at
7 how the peak hour being shifted easily, with the
8 significant amount of solar PV adding onto our system.

9 So, the first scenario simply looked -- we were
10 simply looking at adding another 1,000 megawatt solar PV
11 capacity to our system, from what we look at today. And
12 just with that 1,000 megawatt solar PV addition, by
13 factoring the expected hourly solar generation that we
14 would expect on the peak day, we are looking at our peak
15 day load profile getting shifted and we'll have a peak
16 hour of hour 17.

17 And if we're looking at our system continue to
18 add on more solar, at some point when we get 4,000
19 megawatt more of solar PV capacity, we can easily see
20 that our expected peak day solar generation, you know,
21 definitely is increased. And with that change, we would
22 actually get an hour 18 as the annual peak hour.

23 So, after recognizing that our peak hour can be
24 easily shifted just with simply the solar PV capacity
25 expansion, how do we analyze the impact that we may get

1 from the peak hour shift on our peak demand projection?

2 As we looked into the peak hour being shifted
3 later, we're really seeing that the peak reduction that
4 we will get from the incremental solar increase would be
5 reduced as the peak hour shifts to hour 17, even 18, the
6 more later hour. The peak reduction we will get from
7 the additional solar PV generation could be very
8 different.

9 So, if we were to look at year 2025, for
10 example, based on SCE's peak demand analysis, we would
11 be looking at, you know, in year 2025 SCE would already
12 be getting hour 18 for the annual peak hour. So, based
13 on the typical solar generation profile, our peak hour
14 solar reduction we'll be looking at is, you know, what
15 we call this peak impact factor is only 10 percent.

16 Versus if we assume the peak hour continue to be
17 the same, hour 16, the peaking impact factor could be
18 much higher, 40 percent.

19 So, that produced a big difference in terms of
20 the projected solar peak reduction we will be factoring
21 in our peak demand forecast.

22 So, we just did some simple analysis, applying
23 the different peak impact factors to the 2015 IEPR
24 forecast. As we can see, that our SCE planning area
25 peak demand could differ by more than 1,000 megawatts by

1 2026, if we were to apply different solar peak impact
2 factor based on SCE's analysis.

3 So, we recognized, sort of the simple analysis,
4 that factoring in the peak hour shift impact is very
5 important. And hope, through this simple analysis, that
6 we also gain some confidence that, you know, applying
7 this impact in factoring our peak demand forecast isn't
8 necessarily rocket science. Really, I think,
9 essentially what we need is extend our peak analysis to
10 include some peak day hourly profiles so that we can
11 examine the hourly conditions and tie that to the
12 corresponding solar hourly generations.

13 And I think the future, as Cary highlighted,
14 there are a lot more challenges in terms of factoring in
15 other factors that will impact our hourly load as well,
16 including electric vehicle charging load and tier
17 impact. But I think with -- you know, with the
18 improvement of being able to start with a simple hourly
19 analysis and factoring this peak hour shifting fact,
20 it's a major step.

21 So, that's my presentation. And if there's any
22 questions, feel free.

23 COMMISSIONER MC ALLISTER: Could you go back to
24 the previous slide, and maybe we'll come back to this
25 one but -- so, could you -- maybe I'm missing something

1 here, but is there some reason for that discontinuity
2 between 2021 and 2022?

3 MS. SHEN: Yeah, so what you see here is based
4 on SCE's analysis. In our peak forecast we factored in
5 both solar PV projections, and as well as our
6 anticipated EV load increase in the future. So, both
7 would contribute to our future peak shift.

8 And starting around 2022 time frame is when we
9 expect that our peak hour will shift further, from being
10 hour 17 to hour 18. So, because of the shift, the solar
11 generation contribution to the peak reduction would be
12 much reduced.

13 COMMISSIONER MC ALLISTER: Okay, so that's sort
14 of like it goes from, you know, 7:29 to 7:31 p.m. and --

15 MS. SHEN: Right.

16 COMMISSIONER MC ALLISTER: Or, hour 18, sorry,
17 so 5:29 to 5:31.

18 MS. SHEN: Right, 18, yeah.

19 COMMISSIONER MC ALLISTER: And there's less
20 solar an hour later. Okay, so that seems like that
21 probably ought to be smoothed out a little bit in how
22 you specify the analysis there. Yeah.

23 And I'm assuming on the next slide that's a
24 similar thing that's going on?

25 MS. SHEN: Yes, yes. And that's a factor of,

1 you know, I think with the future refinement in our
2 forecast, if we build more confidence in the future EV
3 projection, and TOU impact analysis, with the integrated
4 impact that we can bring together, if we are looking at
5 our peak being shifted from a certain hour to a later
6 hour, around a certain time, the gap you see here is
7 really a timing in terms of our integrated analysis, the
8 result of that.

9 If we were looking at the peak hour would be
10 shifted to the later hour much early on, then that gap
11 could be created at a different time.

12 COMMISSIONER MC ALLISTER: Great, thanks.

13 CHAIR WEISENMILLER: A different question. So,
14 looking at the net metering number, or where people are
15 versus the net metering cap, obviously, SDG&E's closely
16 approaching and if not there, PG&E is right on their
17 heels, and Edison is lagging that.

18 So, part of the question is can you see this
19 effect better at any of the specific areas in your
20 service territory? You should be the most muted on your
21 shift compared to the other utilities, you know, in
22 knowing some of the POUs which, again, could easily be
23 shooting past the net metering cap?

24 MS. SHEN: Maybe I'd like to get a rephrase of
25 the question?

1 CHAIR WEISENMILLER: Okay. ISO has said, gee,
2 you can see in Fresno. Okay, and you're looking at an
3 overall system. And I'm saying, wait a minute, your
4 system has the least amount of solar behind the meter on
5 it. So, have you tried to zoom in on any specific
6 areas, which have a lot of solar in your system, where
7 these effects might be more easily displayed?

8 MS. SHEN: Yes, I believe when we look closely
9 at the local areas across our territory, we will be
10 looking at different situations. And as ISO pointed
11 out, Fresno is a great example. And we have dramatic
12 different geographic areas across our territory. The
13 inland areas could be having very different, as you can
14 see in the coastal areas, especially in the future solar
15 PV growth.

16 CHAIR WEISENMILLER: Yeah, I guess I'm looking
17 for where it is now in your data. I mean, the one thing
18 that happens in these sort of models is essential limit
19 theorem. Is that you've got a lot of the particular
20 assumptions are off. But if you have enough -- but a
21 lot of those are in offsetting ways.

22 Now, obviously, if we're all talking just about
23 adding more and more preferred technologies, then it
24 tends to be one directional. But again, if you ever go
25 through, say, an Edison production cost model and match

1 history versus what the forecast was just about every --
2 you know, a lot of the assumptions are off. But again,
3 they tend to offset each other in ways that the forecast
4 can still be pretty good, even though a particular power
5 plant is pretty bad.

6 So, again, we have a particular effect here, but
7 there could easily be offsetting effects going on. So,
8 again, I'm trying to say -- it would really help us if
9 you could say here, in the Edison service territory here
10 are some specific examples, local area wide, where you
11 could really see this effect big time.

12 MS. SHEN: Sure. I think, Commissioner
13 Weisenmiller, you just highlighted the next challenges
14 we will face, which is getting a better handle on the
15 more granular level forecast.

16 And in our view, I think we're looking at how to
17 combine the top level, the system level forecast and
18 bring up more bottom level information. And, hopefully,
19 we would be able to take advantage of the more granular
20 level information and, at the same time, benefit from
21 the high level forecast if we're trying to be more
22 consistent. And that's what we'd like to work with CEC
23 and the other stakeholders in the near future to tackle
24 those granular level forecast issues.

25 CHAIR WEISENMILLER: Okay, great, thanks.

1 MS. SHEN: Any other questions? Thank you.

2 MS. RAITT: Thanks.

3 So, that concludes the panel. Next, is there
4 any stakeholder responses or comments, if folks wanted
5 to come to the podium and identify yourself? I guess
6 not.

7 Okay. Well, we can go on to the Long-Term
8 Forecasting of Hourly Loads. If our panel could come up
9 to the tables, we have seats for you all.

10 And thank you, again, for our speakers.

11 The first is Chris Kavalec, from the Energy
12 Commission.

13 MR. KAVALEC: Yeah, Chris Kavalec again, Energy
14 Commission Staff. I'm going to talk about our staff's
15 plan to begin to forecast hourly loads in the long-term
16 for the 2017 IEPR forecast and beyond that.

17 Also, in this section of the workshop we will
18 have Alan Sanstad, of our expert panel, talk about some
19 of the issues and considerations involved in forecasting
20 hourly loads.

21 We will have Bob Emmert, from CAISO, where they
22 use a short-term hourly and peak forecasting model that
23 could conceivably be used for long-term hourly
24 forecasting. And it at least presents a possibility as
25 a platform on where we can house our estimated models.

1 And San Diego has done some impressive work on
2 forecasting hourly loads and they'll talk about that.

3 So, right now, the situation is that we produce,
4 for our long-term demand forecast we produce annual
5 totals for sales, and net energy for load, and for
6 consumption and for peak demand.

7 However, as we know, long-term projections at
8 the hourly level are becoming more and more important
9 for resource planning. So, people, resource planners
10 are now understandably interested not just in the peak
11 of a day or a month, but they're interested in a ramp up
12 period, and midday loads, the so-called duck curve
13 phenomenon.

14 And as we've just heard, there are demand side
15 factors, including PV and electric vehicles that are
16 likely to shift the peak hour to later in the day. And
17 you can't really do a full analysis of this unless you
18 have an underlying projection for hourly loads in the
19 long term.

20 So, our goal is to develop a model that projects
21 8760 hourly loads, ten years out for a given geography.
22 And the way that we'll go about this is we'll develop a
23 sort of business-as-usual projections that account for
24 economic and demographic changes, changes in sector
25 shares, other factors that may affect the daily load

1 shape.

2 As an example, if industrial energy use
3 continues to remain flat or decline, and industrial has
4 a fairly flat load shape, while residential and small
5 commercial continues to grow, you're going to get a peak
6 year load shape out five, ten years from now. So, that
7 has to be accounted for, along with the impact of demand
8 modifiers.

9 And then, we will adjust this business-as-usual
10 case to account for our load modifiers, PV, electric
11 vehicles, AAEE, demand response on the demand side, and
12 TOU pricing in the residential sector, which will become
13 much more common.

14 COMMISSIONER MC ALLISTER: Can I -- I want to
15 ask a question, sort of following up on the last panel.
16 So, it seems like we've been talking a lot about PV, so
17 particularly with PV it seems like this hourly binning
18 maybe, sort of creates a possibility that answers we get
19 might be actually pretty different based on, well,
20 certainly geography, but even just the particulars of a
21 given analysis. Like, if it happens to be at, you know,
22 5:59 versus 6:01, well, that's in a different hour and,
23 therefore, it looks different. But, actually, it's
24 pretty similar. So, I guess that ramp coming right as
25 the sun is setting makes the -- sort of gives a lot of

1 important results and those details right around that
2 moment being pretty important in swinging your answer,
3 you know, broadly one way or the other.

4 MR. KAVALEC: Yeah.

5 COMMISSIONER MC ALLISTER: So, is there any way
6 to sort of improve upon this hourly binning with respect
7 to, you know, when the peak moment actually happens
8 versus which hour it's in?

9 MR. KAVALEC: I would think so, yeah. Right
10 offhand I can't think of a simple way. But I believe
11 there certainly is a way to smooth out that transition
12 so you don't get that abrupt change.

13 COMMISSIONER MC ALLISTER: It just seems odd
14 that you get that -- you know, it's not intuitive that
15 you get that big of a difference just with a sort of a
16 gradual switch from one year to the next. Then all of
17 the sudden the flip switch is in a different hour and
18 then all of the sudden you've got different planning
19 assumptions, right.

20 MR. KAVALEC: Yeah, so some sort of way,
21 formulation to transition this is -- or we could go 8760
22 times 60 minutes.

23 COMMISSIONER MC ALLISTER: Yeah, no, I'm not
24 advocating for that, just to be clear. But maybe, you
25 know, some way of dealing -- since a lot of -- the

1 driver of many of these discussions we're having is when
2 the sun sets and when load peaks, right. So, that is
3 more -- you know, an hour is a pretty blunt instrument
4 for talking about that.

5 MR. KAVALEC: That's right.

6 CHAIR WEISENMILLER: Well, you recall the ISO
7 dispatch periods, they're shortened from hour to -- much
8 shorter times. Not that Chris even wants to think about
9 a 5- or 15-minute forecast.

10 COMMISSIONER MC ALLISTER: Yeah. No, for sure.
11 And this isn't, you know, a dispatch model so that's
12 okay. But if it drops -- and to the extent it drops
13 investment, you know, and, oh, gosh, you know, it's in
14 the later hour so the peak is way down here. When
15 actually, in fact, relative to the true system peak it's
16 maybe not that bad, you know.

17 MR. KAVALEC: You'd get a funny looking
18 forecast.

19 COMMISSIONER MC ALLISTER: Yeah, exactly.

20 MR. KAVALEC: And it's not warranted, yeah.

21 COMMISSIONER MC ALLISTER: Anyway, I just wanted
22 to bring that up and see if we can find an analytical
23 approach on it.

24 MR. KAVALEC: Yeah, it's a great point.

25 Okay, so we're in the middle of a data

1 rulemaking process. And the conclusion of this process
2 should be early next year. And by that time we'll sort
3 of know what we'll be able to get ahold of in terms of
4 metered data to support these models.

5 So right now, we have to rely on the hourly load
6 data that we have, which is mainly the CAISO EMS data to
7 project hourly loads.

8 So, our first version of this model, in other
9 words, will forecast hourly loads at the TAC level. And
10 the later versions, once our data and negotiations are
11 resolved, would use AMI data in some form to estimate
12 models at a more granular geography, and by sector, and
13 so on.

14 But I should point out, just doing an hourly
15 load model for the PG&E TAC area, as a whole, is a big
16 project. I mean, this is not a simple -- projecting
17 hourly loads out ten years is not a simple project. So,
18 it takes a lot of thought, it takes a lot work. So,
19 anyway, that's where we're headed.

20 And so, the first version of our model we're
21 proposing we would estimate using loads that are
22 reconstituted. Meaning, we would be adding back in
23 photovoltaics and other DG to get a measure of total end
24 use demand, regardless of generation source.

25 And this would be specified as a function of

1 economic, demographic, weather, other characterizing
2 variables, as well as lagged hourly loads. So, you see
3 it in equation form there, hourly loads as a function of
4 the economy, and weather, and sector characteristics,
5 lag.

6 And I believe Alan will talk a little bit more
7 about considerations of what variables should be
8 included in the estimation process.

9 One thing that gets tricky here is that you'll
10 end up with variables with different frequencies. So,
11 you'll have daily or hourly weather observations, but
12 then you'll have quarterly economic and demographic
13 observations. And then monthly observations in terms of
14 things like sector shares.

15 So, the question is how to combine all these
16 different time periods. And I believe Alan will address
17 that a little bit, too.

18 So, the later model versions, as I mentioned,
19 once we get the hoped-for abundance of data, we'll be
20 able to do hourly loads for more granular geography,
21 down to the local areas, and do hourly loads by sectors.
22 And even groupings within the sectors.

23 One model we've looked at, that was estimated
24 recently for studying DR potential, was done by Lawrence
25 Berkeley. And we asked them to be on, listen in to the

1 workshop today, so they may have -- they may be able to
2 share with us some sort of overall general comments on
3 their experience in putting together an hourly load
4 model.

5 And I believe Lawrence Berkeley was also able to
6 incorporate end use load shapes within their hourly load
7 forecasting model. And that's something we would aspire
8 to, as well.

9 Oh, I guess that's it. Okay, so we're hard at
10 work on this now. We're looking at different estimation
11 processes, playing around with the data. And as I said,
12 our plans are to have hourly load models for the TAC
13 areas, for the 2017 IEPR.

14 COMMISSIONER MC ALLISTER: Great, thanks. This
15 is very exciting. I don't know if all of you get
16 charged up about this, but this is really, so clearly a
17 step in the right direction for where we need to go long
18 term. And data issues, we're going to struggle with
19 those. But, you know, once we get to a certain point we
20 can build on that and it's all -- you know, it's
21 iterative. So, extremely supportive.

22 And just also wanted to point out this is the
23 year that -- the IEPR update is the year we have the
24 luxury of having this conversation without actually
25 having the burden on the team of doing the whole

1 forecast. We can really focus on the methodology.
2 That's why we're here today. And I just want to make
3 sure we kind of appreciate the urgency of kind of
4 getting to a good point by the end of this cycle.
5 Because next year, it's going to be upon us to actually
6 do the new forecast. So, anyway, hopefully, everybody
7 can put on their best thinking caps, and get in
8 comments, and help this process get to a good
9 conclusion. Thanks.

10 CHAIR WEISENMILLER: No, thanks. I was just
11 going to say one of the groups to really pull in, too,
12 at least when I'm looking at my ISO Today app, at the
13 net demand chart, there is an attempt to go from actual
14 demand to net demand.

15 And it would be good to understand how that's
16 done and the basis for that. And if, again, we can get
17 anything useful out of that modeling or thought process,
18 right.

19 MR. KAVALEC: Okay. Okay, I'll then turn it
20 over to Alan, from our expert panel.

21 MS. RAITT: Just one moment.

22 MR. SANSTAD: Thank you, Chris. Good afternoon,
23 Commissioners. I'd like to thank you for the
24 opportunity, and Chris, for the opportunity to
25 participate today.

1 I'm here, representing the outside expert panel
2 that's been working with Chris for several years on
3 methodological issues. It's led by Hill Huntington, an
4 economist at Stanford. Also includes Jim McMann, who's
5 an expert on end use energy analysis and efficiency
6 analysis. Marc Jacquard, who's a specialist in
7 integrated economic and technological modeling at
8 Southern Frasier University in British Columbia, and me.

9 I'm particularly filling in for Hill today,
10 who's in China. So, Hill is also our panel's expert on
11 statistical and econometric matters. Another way of
12 saying that is that I'm not. So, I'm sort of the
13 economists call an imperfect substitute.

14 But I want to hit some of the high points,
15 conceptually, of our initial thinking on how to approach
16 the system level hourly demand modeling.

17 So, a little bit of context for this.
18 Traditionally, and for the most part now, and I'm
19 painting with a broad brush, and this is having to do
20 with utilities around the country, long-run hourly
21 demand forecasting has been conducted subordinately.
22 It's an imperfect term to monthly or annual forecasting.
23 By which I mean a long-term ten years, monthly or annual
24 forecasts will be developed and then filled in. If it's
25 filled in for annual and then filled in for monthly.

1 And then there will be separate, sometimes,
2 engineering models of hourly demand that will be added
3 to it, connected to it in some -- calibrated to it.

4 So, this approach, this modeling architecture
5 works both for pure econometric, strict econometric
6 approaches or the modern, what's now called hybrid
7 econometric and end use modeling. So, yeah, the two
8 levels are linked and calibrated, but not fully
9 integrated.

10 So, what we're talking about here is sort of
11 fully empirically-based, dynamic integrated estimation
12 of the system model hourly loads out a long time. So,
13 this is state of the art. And what I mean by that is
14 something specific. State of the art, the models, you
15 know, and techniques I'm going to talk about are
16 standard. But the strategy and approach seems to be
17 sort of new.

18 There's some experimental work, academic work,
19 and some applied work, for example in ERCOT, going on
20 with direct long-term estimation, empirical estimation
21 of hourly loads. But it's still, and I think as far as
22 shorter term innovations in forecasting, we're going to
23 hear later in this session from our colleagues at ISO
24 and San Diego.

25 But this, I think, is a new step and will be

1 very valuable if it works out.

2 COMMISSIONER MC ALLISTER: That would be --

3 MR. SANSTAD: Any East Coasters? I do, I hit
4 the down arrow.

5 COMMISSIONER MC ALLISTER: Oh, it's not okay.

6 MR. SANSTAD: To bad about the Warriors, eh?

7 (Laughter)

8 MR. GARCIA: Don't hit those down arrows.

9 MR. SANSTAD: Down or right to go -- left or
10 right, that may be the problem.

11 Okay, so the general approach, it's a linear
12 model, what's called panel data linear regression.
13 Panel data just means, okay, it's a combination of time
14 series and cross-sectional. The cross-sections, in
15 panel data, means different subgroups. In this case,
16 the TAC areas are subgroups. And so, you're following
17 sort of two dimensions, times and cross-sections ahead.

18 The dependent variable is system level hourly
19 load. And our thinking is that the model we're going to
20 have, as Chris mentioned, we're relying on ISO data, ten
21 years' of data to estimate the model on seven years' of
22 data. And then test it out of a sample on -- you know,
23 we have the sample. On three years before going to
24 forecasting.

25 So, this looks like an exact list. It's not.

1 There's devils in the details for each of these. But in
2 general, I want to show you what we think about it
3 inside.

4 So, first of all, Chris talked about weather.
5 So, you know, obviously the weather temperature, and
6 humidity, or cloud cover variable are critical factors.
7 You know, there's daily temperatures, lag temperatures,
8 previous days. Depending, we're still talking about it,
9 as Chris said, the intraday structure of the model.

10 So, the previous day system and for the given
11 hour to monthly and every fixed effects, which are sort
12 of akin to dummy variables, but they capture the effect
13 of -- the specific effect, and it's non-random and non-
14 changing of those factors.

15 The electricity prices, we'll start with average
16 rates. Going forward, we would try to get more granular
17 and include more detail on the tariffs and so forth.

18 So, as Chris mentioned, we have quarterly -- we
19 have quarterly data on macroeconomics sector outputs,
20 industrial classification sector, employment, as well as
21 demographics. We'll also plan to incorporate monthly
22 sateral (phonetic) load shares. The sectors here
23 meaning the end use sectors.

24 And finally, an important point I'll come back
25 to, is some way of representing indices or proxies is

1 deliberately vague. Some manner of representing the
2 effects in history of efficiency-promoting policies,
3 programs and regulations.

4 Now, way of saying -- to back up a second. If
5 you didn't put these in, obviously, your model would
6 pick up whatever effects are there, you know, because
7 they're in the data.

8 The idea is to, though, somehow estimate the
9 model with those historically, explicitly spelled out.
10 Because in the forecasting simulation those are going to
11 be drivers of very critical interest.

12 So, there are a lot of issues on something like
13 this. First of all, I didn't put it down, but the 800-
14 pound gorilla is the data, itself. It requires -- it's
15 very data-intensive, as the gentleman from NREL pointed
16 out, for this kind of model, a lot of data. There
17 should be a lot of data. But putting it all together,
18 the weather normalization, which in this case is simply
19 defining what the weather independent variable should
20 be, how it should be configured. There are also issues
21 about nonlinear effects of weather in this kind of
22 model. There are ways of dealing, taking account of
23 some of the nonlinearity.

24 So, as was pointed out by Chris, too, there's
25 the use of the mixed frequency data is an issue. This

1 is in the business and academic econometric. This is
2 now something for whole literature, which I don't know
3 anything about. Though there are ways of dealing with
4 it, they are more complicated and may not be actually
5 practical in the current generation of commercial
6 statistical software.

7 So, our recommendation is always to start with
8 ordinarily squares and test for heteroscedasticity and
9 autocorrelation. So, forgive me if you already know
10 this. These are fancy words meaning something very
11 intuitive. It has to do with the nature of the
12 randomness.

13 So, the beauty of all this is under the right
14 conditions it produces estimates which are unbiased,
15 which is accurate, and also what's called efficient.
16 So, the smallest variance, roughly speaking.

17 So, that depends on certain assumptions about
18 the nature of the uncertainty. In this case it would
19 mean the uncertainty, roughly the uncertainty associated
20 with different observation units, with respect to model
21 here, the TACs is the same. Well, it's not going to be.

22 And the other thing, in the time series model,
23 is our autocorrelation, which is events at one time
24 provide no information about events the next time.
25 That's obviously, also not true.

1 So, there are standard tests for detecting these
2 things. They will be present. There are ways of
3 correcting for them. There are much more complicated
4 ways of estimating a model like this. We would rather
5 not go there, at least initially, unless it's absolutely
6 necessary.

7 One questions that we've discussed is using load
8 per customer rather than system load. The load per
9 customer, that's a common specification, for example,
10 end use demand modeling. It's not clear what
11 advantage -- there may be statistical advantage of doing
12 it in terms of the fit, having a log on the left-hand
13 side. But it's not clear, I mean in this case, what you
14 really want to know is the system level load and
15 representing energy efficiency.

16 So, this is the question of how you represent
17 energy efficiency, sort of in the aggregate, whether you
18 have aggregate information or bottom up information is
19 very hard. It's been the subject of DAWG workshops,
20 now, for five years, understanding how that's done in
21 the CEC's forecasting model.

22 Several years ago, the PUC sponsored a project.
23 It was called Macro Consumption Metrics for Energy
24 Efficiency. It was a project to estimate the effects of
25 energy efficiency from California programs, purely

1 econometrically. It had two econometrics teams working
2 on it.

3 And, you know, as sort of a proofs of concept
4 you can do it. It's hard to do. The estimates are very
5 noisy. So, this is definitely -- it's both a priority
6 and will be a huge challenge. But it's something of
7 sine qua non for this because of the applications of the
8 model.

9 So, forecast, so this is, loosely speaking, be a
10 hybrid. So, with what you could do, you have to have
11 the driver, you have to have forecasts of the drivers,
12 right, the independent variables.

13 Conditional on that, this is actually a
14 statistical forecast. Speaking to Commissioner
15 McAllister's point about uncertainty, an advantage of
16 doing this kind of modeling is that you can explicitly
17 quantify the uncertainty, right, you get standard
18 errors.

19 One thing I mentioned -- or, sorry, forgot that
20 point. So, even in the presence of these problems, it
21 still yields unbiased estimates and the parameters. The
22 problem is the variance estimates can be biased. And
23 that matters. To what extent, we'll find out. For
24 forecasting it may not matter as much because when
25 you're doing simulations out very far, those variance

1 errors might be dwarfed by errors in, you know, the main
2 inputs, like GSP. But we'll see.

3 So, I think this -- doing this offers an
4 advantage in terms of both accuracy and uncertainty
5 quantification over methods, like those I mentioned
6 initially, where you're putting together the information
7 from disparate sources, so which may not be statistical.

8 But there's -- obviously, there will be, there's
9 unavoidable very considerable uncertainty in making
10 these kinds of projections at all. It brings to mind a
11 project that we're working on at LBL, studying the
12 accuracy of long-term load forecasts by some WECC
13 utilities in the middle of the 2000s decade. Not
14 including, actually, the California utilities.

15 Very sophisticated procedures for doing these
16 forecasts. It was, initially, an actual experiment
17 because these happened to be done a few years before the
18 economic crash. And that turned out to introduce in
19 most -- for the most utilities, you know, very
20 significant forecast errors, as you would expect.

21 So, there's not only lots of uncertainty, but
22 there's a hierarchy of uncertainty.

23 So, one thing about this, and it has to do with
24 this issue of granularity, which as the Chairman
25 mentioned, and we all know, is one of the goals, and big

1 sort of goals across a lot of these development
2 projects.

3 One thing about focusing on aggregates is you
4 can often do a better job of projecting an aggregate
5 than a disaggregate, right. Especially here, when we're
6 going to have a lot of data and be able to take account
7 of it.

8 Chris mentioned that if all goes well, this
9 would be a first step towards more disaggregately-
10 focused modeling of this kind. And, of course, as the
11 AMI data, we hope, becomes available, taking that into
12 account somehow and building up from the bottom up, the
13 available empirical information.

14 But it's also worth pointing out that the more
15 granularity, it generally comes with a lot of
16 uncertainty. It increases the uncertainty, especially
17 when you're projecting out long time periods.

18 My personal view is there's a pervasive illusion
19 of precision problem in energy problem. It's actually
20 getting worse. But, you know, it's everywhere. Not the
21 single thing that's happening here.

22 And it's a great deal of detail in models, if
23 you don't have the empirical information to ground it,
24 which very often is not available, then it's really not
25 clear what you're getting. How to interpret what you're

1 getting.

2 I have an example, a paper I recently reviewed,
3 had agent-based modeling. Certainly not the NREL
4 people. I thought what they're doing is very great.
5 But it was an agent-based model of residential
6 electricity demand in California and the effects of
7 dynamic pricing.

8 So, they have 10,000 agents representing
9 California consumption. That's great. Okay, but what
10 they have to parameterize their behavior and their
11 technology choices were statewide averages, right. So,
12 basically what you have in this model were 10,000
13 identical agents.

14 Now, why that, you know, is better is not at all
15 apparent. You cannot -- you can't get something for
16 nothing in getting granularity, if you don't have data.

17 Be that as it's said, I think, again, back to
18 the point that this would estimating a model with a lot
19 of data, at the right level of observation, and I think
20 will be very valuable, and a first step toward
21 addressing a lot of the policy needs. Thank you.

22 CHAIR WEISENMILLER: Now, I think last time we
23 talked, obviously, it was on disaggregation more in
24 terms of, you know, smaller -- you know, going
25 geographically. And at this point we're trying to

1 geographically and temporally, both.

2 MR. SANSTAD: Right.

3 CHAIR WEISENMILLER: And so, basically, you're
4 right, trying to figure out how to do it in a meaningful
5 way.

6 Obviously, one of the things which will be
7 useful, I think, is we do statewide, at some point the
8 ISO or the utilities crank it down, or we do it down to
9 substations. And at least the process should be more
10 transparent. I'm not saying that, you know, anyone has
11 any brilliant ideas on how to do it better, but at least
12 I think we need to get more public exposure to the
13 process of doing that.

14 MR. SANSTAD: Right, and also --

15 CHAIR WEISENMILLER: And similarly, the temporal
16 side.

17 MR. SANSTAD: Certainly. Also, I'm a little
18 speaking out of turn, to an extent, because I'm not
19 involved in the details of these processes. But I also
20 think understanding what you're using these for, you
21 know, and how much the error matters is a critical
22 thing.

23 CHAIR WEISENMILLER: Yeah.

24 MR. SANSTAD: So, you might have a lot of end
25 use -- you know, spatial detail and so forth on current

1 data. If you're projecting out ten years, okay, well,
2 what are you getting? If it doesn't matter, then that
3 should be built into the process. By not mattering I
4 mean that there will be continual updates between now
5 and ten years' from now, right. So, it's not like you
6 plant a stake in the ground and then your forecast, and
7 then come back to it.

8 CHAIR WEISENMILLER: Right.

9 MR. SANSTAD: So it would help, to an outsider,
10 at least, it would help a lot to understand sort of the
11 relationship between the increasing granularity and the
12 updating of the forecast over time, you know, and how
13 the uncertainty sort of gets managed then.

14 Because the forecast doesn't have to be exactly
15 right out ten years, right?

16 CHAIR WEISENMILLER: Right.

17 MR. SANSTAD: So, I don't understand the details
18 enough to know, but I think that would help sort of, to
19 some extent, think about how to deal with the
20 uncertainty associated with the granularity.

21 CHAIR WEISENMILLER: Yeah, we've actually, the
22 last couple of times, distinguished between what we're
23 doing in a local capacity area and broader scale, and
24 being somewhat more conservative. Because, again, not
25 only are we doing the sales, but the EE, and there are a

1 whole bunch of things that are being disaggregated down
2 another level, and no one's quite sure, the more
3 disaggregated you get, you know, how comfortable -- or
4 what the uncertainties, inherent uncertainties are.

5 MR. SANSTAD: Right, but --

6 CHAIR WEISENMILLER: But you're right. I mean
7 these are -- these will be updated at least every two
8 years, if not every year.

9 MR. SANSTAD: Right.

10 CHAIR WEISENMILLER: And, hopefully, there's
11 more and better data. Obviously, the thing that we're
12 struggling with is that, you know, we're talking about,
13 you know, as opposed to classic econometric model or
14 regression models, we're talking about fundamental
15 things. You know, solar, right, PV. If you just
16 ignored it and did a regression, you'd be really wrong.

17 Now as it is, building it in we're capturing
18 more of that and, hopefully, when we get to this
19 question of do we upgrade this substation or that
20 substation, you know, that somehow we're getting closer
21 than we would be. But again, it is -- the more we get
22 into those -- anyway, the more disaggregated we get, the
23 more we have to be worried -- as you said, a precision
24 question and what does it really mean, what we're really
25 trying to capture, some of the policy tradeoffs

1 particularly at that disaggregated level.

2 COMMISSIONER MC ALLISTER: At some point, and
3 I'm not sure this is a question for you, but it occurs
4 to me, you know, we're talking about, oh, we're going to
5 get so much more data, and I'm certainly preparing to
6 that. And on the existing building side, you know,
7 absolutely I think we need more and better data, and to
8 enable not only ourselves, and targeting policy, and
9 developing good policy, but also out there for the
10 marketplace, right.

11 So, we're going to get these massive flows of
12 data in different directions. And in our case, I mean,
13 it's going to require a pretty serious IT project to
14 like, okay, where is this data flowing into? Where is
15 it sitting? How can it be managed and curated over
16 time? You know, I mean you've got all the quality
17 issues you've got to work through. And our team is
18 thinking about that and, you know, I think has an
19 approach.

20 But I guess, you know, I think sort of making
21 sure we get good advice just on the nuts and bolts of
22 what big data tools are, you know, appropriate for 2016
23 and beyond.

24 MR. SANSTAD: Absolutely.

25 COMMISSIONER MC ALLISTER: You know, how the

1 sort of, you know, web-based tools can be best taken
2 advantage of, how standardized data transfer protocols
3 can be brought to all of this.

4 MR. SANSTAD: Absolutely.

5 COMMISSIONER MC ALLISTER: I mean, there's just
6 a lot of real nuts and bolts, IT questions, that are
7 fundamental to get right to even begin to put this tool
8 together, right?

9 MR. SANSTAD: Your point is extremely well
10 taken. It's not just IT, but it's sort of data
11 management.

12 COMMISSIONER MC ALLISTER: Yeah, exactly.

13 MR. SANSTAD: I have another anecdote. Over the
14 years, working on end use policy, especially,
15 California, people around outside California, always
16 say, well, California has all this data and we can do so
17 much, right. And they already call you, you have this
18 data. And California does have a lot of data, but the
19 data tend to be in different places, under the control
20 of different entities, not necessarily consistent and
21 whatnot.

22 So, when you actually -- when you're in the
23 trenches, you don't have a lot of data, you have a lot
24 of confusion.

25 So, that kind of organized systemic effort, you

1 know, both on IT issues, but on sort of conceptually,
2 and doing that from the get go, say, is hugely
3 important, I think.

4 COMMISSIONER MC ALLISTER: Yeah, and I think we
5 haven't really talked directly about that. But I think
6 in the subsequent workshops we're going to have to get
7 into some of those issues.

8 CHAIR WEISENMILLER: Yeah, I sort of flagged
9 those. So, again, in terms of the basic narrative arc,
10 you know, today's issues are things which, as we were
11 adopting the last forecast, you know, after people came
12 running in saying, well, what about this, this and this,
13 and it was like, okay, we have five hours. We'll hunt
14 these and, basically, they landed here.

15 Now, the whole question of what are we doing on
16 350 and 802, which is a huge, huge effort that's coming
17 up later next month. And, you know, we'll go on for the
18 next --

19 COMMISSIONER MC ALLISTER: Couple of years.

20 CHAIR WEISENMILLER: -- decade.

21 COMMISSIONER MC ALLISTER: Anyway, I just wanted
22 to bring that up because I think it was sort of like
23 hanging out there, unsaid.

24 MR. SANSTAD: You're right.

25 COMMISSIONER MC ALLISTER: And, you know, we are

1 getting that conversation going and mostly in subsequent
2 workshops.

3 CHAIR WEISENMILLER: Yeah, yeah, thanks.

4 MR. SANSTAD: Thank you.

5 Do you want to -- I don't want to extricate my
6 own disk because I might blow it up.

7 MS. RAITT: Got it.

8 MR. SANSTAD: Thank you.

9 MS. RAITT: All right, thanks.

10 COMMISSIONER MC ALLISTER: Thanks, Alan.

11 MS. RAITT: So, next is Bob Emmert from the
12 California Independent System Operator.

13 MR. EMMERT: Well, good afternoon. Again, I'm
14 Bob Emmert, Manager of Interconnection Resources at the
15 California ISO. And I appreciate this opportunity to
16 come and give you a very, very high level overview of
17 our, what I call either our short-term or mid-term
18 forecasting process, as well as the tools that we use
19 within that process.

20 This came out of a discussion we had at a JASK
21 meeting a few weeks ago, where I was talking with Chris
22 about where they were going, where you guys are going
23 related to your forecasting to get to the hourly
24 forecast. And just was talking about what we did and,
25 you know, the capabilities of the model that we used and

1 so forth, and he asked me to do a presentation on this.

2 So, I'll just be kind of giving a very high-
3 level overview of our forecast process, and as well as
4 the tools that we use to do that, so that you kind of
5 get a feel for an option that's out there for you to
6 accomplish some of the things you're trying to
7 accomplish.

8 So, just a little bit of background, the tool
9 that we use is used for our -- the basic platform is
10 used for both our day-ahead forecast, as well as our
11 short-term or mid-term forecast we use in our summer,
12 which has now evolved into an annual assessment, where
13 we do a one-year-out forecast.

14 And we don't do a ten-year forecast. We've got
15 the Energy Commission. But most states don't. Most of
16 the ISOs around the country don't have that kind of a
17 setup. So, they are doing their own ten-year forecast
18 using this tool.

19 So, this tool is -- you know, has a lot of
20 capability to do whatever type of forecasting you're
21 really looking to accomplish.

22 You know, from our perspective, one of the
23 benefits of using this vendor forecast tool, from our
24 perspective it's a proven platform, with ongoing
25 improvements. Where the vendor that we have chosen has

1 customers around the country, including Canada and
2 around the world. So, it's a very well-proven out
3 platform and customers are always working with them to
4 come up ways to improve it. So, we see some
5 improvements from time to time. Not so much in the
6 basics of the forecasting, but in just kind of the
7 interface with it and some tools to help build the
8 forecast you want to be building.

9 They provide a lot of vendor expertise.
10 Whenever we get -- when we got into the initial model
11 build for the forecast that we work on, as well as the
12 day-ahead forecast, and also when MRTU came on, and we
13 moved from hourly to 15 minutes, and now EIM every five
14 minutes, the optimizing of that, they have provided a
15 lot of expertise to help us.

16 You know, Alan, I really appreciate everything
17 Alan was saying. You know, that's the kind of expertise
18 that comes in and helps us to make sure that we're
19 thinking of everything. Because, you know, when you
20 have a model or a platform such as this, some of those
21 things you may not have the expertise in every area, so
22 you need someone to come in to make sure you're doing
23 everything right, and not just making assumptions that,
24 hey, I've got a really good MAPE on this forecast so,
25 therefore, it's a great forecast. Which is something I

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 learned very quickly in my experience, a good MAPE
2 doesn't necessarily mean a good forecast.

3 We have a long-term vendor support from them,
4 then, on an as-needed basis. We don't use them very
5 often, but when we have a project that we think we'd
6 like to have some additional expertise brought in, we
7 use them for that.

8 Again, like I said earlier, it's the same basic
9 platform for all the ISO forecasting needs.

10 And one of the things we also have found is the
11 vendor has developed a user group. That we get together
12 on an annual basis, and it's ISOs from across the U.S.
13 and Canada get together and talk about our forecasting
14 processes. And we share best practices. Some of the
15 real benefits when someone comes in, like the New York
16 ISO came in one time and gave a presentation of some
17 work that was some very detailed work he was doing in a
18 particular area of their day-ahead forecast to improve
19 their forecast, and talked to us about that. And we
20 were able to glean something that we could actually use
21 in our mid-term forecast process.

22 So, you know, improvements of other ISOs, or
23 users are using can kind of cross-pollinate each other
24 to help everybody improve. Which really helps foster a
25 process of continuing improvement. So, I really saw or

1 we continue to see a lot of benefit in just
2 participating in that user group, as well.

3 This is just a very high level walk through of
4 our forecast process. You know, the basic inputs in the
5 model. You know, Alan talked about them all.

6 One of the things that we just installed this
7 last year was behind-the-meter solar input. And you
8 were asking about that, Commissioner Weisenmiller,
9 about, you know, do we have that data? Well, we got it
10 from you. If we hadn't of been able to get it from you,
11 we wouldn't have that data, so we appreciate that.

12 But, you know, we have another data in other
13 areas, but that's one component of data we don't have.
14 So, we wouldn't be much help there, but really
15 appreciated, you know, the morning session, talking
16 about how this forecasting process is really working.
17 That is the input that would go into this model. So, the
18 more robust input of a forecast you have, the better
19 forecast you'll have in the end.

20 You know, some of our models are based on
21 forecasts. So, we forecast based on forecasts. So,
22 when you have a forecast of behind-the-meter solar, your
23 demographic and economic data's a forecast. So, the
24 better those forecasts are, the better your end use
25 forecast will be.

1 Just to kind of go through this real briefly, we
2 take all those inputs and we put them into our model.
3 We train the model based on the latest inputs. As loads
4 changes, as weather can potentially change, the model
5 has to learn from that. So, we put that information
6 into the model and we train the model every year to get
7 it to the best forecast model we can. That's our base
8 forecast model.

9 We also take all of our weather data, and our
10 weather data, we start in '95 and have moved forward
11 from there. Mainly because that's when we have relative
12 humidity data from all of the weather stations that we
13 use. And so, we've also felt that was a good way to
14 deal with climate change in that we're using more recent
15 data. So, now that we've got about 20 years of that
16 data since then, we may consider some ways to maybe even
17 shorten that up. But that's something we're just now
18 considering.

19 But we take all of that 20 years' worth of data
20 and we send it in to a weather simulation model that
21 basically gives us seven different scenarios for each
22 years' worth of weather. Basically, what it does is it
23 just indexes each of those weather years by one day,
24 seven times, so that you have the peak day of the year
25 occurring on each of the seven days of the week. So, it

1 gives us seven profiles that are a little bit different,
2 but all based on the same weather year. So, that gives
3 us closer to 200 profiles when we're all done.

4 And we take all those profiles, mix it with our
5 base case forecast to get our full range of weather
6 forecast -- or, excuse me, load forecast based on
7 weather for all those various scenarios. And from
8 there, we take it into our probabilistic work and
9 develop our 1-in-2, 1-in-10 forecasts.

10 This is just a quick look at some components of
11 the tool that we use to show that, you know, there's a
12 lot of flexibility built into these tools to where we
13 can -- we use the regression model to do our
14 forecasting. But we also have used the narrow network
15 model that is associated with this model. You look at
16 the analytical tools, and I'll show you one of them, but
17 there's kind of a list of some of them. This is not the
18 full list, but at least gave you a taste of it and at a
19 size you can read on a presentation.

20 Under number 3, the multiple-region model
21 analysis, those are the various models we have built.
22 So, within one file, we've got multiple models. So, the
23 ISO modeled a system. We've modeled NP 26, SP 26. Each
24 of the IOUs use as a whole. In a couple cases for PG&E
25 and Edison, we have split those into two components.

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 So, that's as low as we've gotten as far as
2 disaggregation of those loads, but you can go further.
3 You could go down as far as you want, it's just a matter
4 of data.

5 And then, finally, under the variable input
6 assumptions this just shows that some of the type of
7 variables that we put in there, we use a base case
8 economic forecast to do our base case forecast. But we
9 also do some scenario analysis around four different
10 scenarios that we get for economic forecasts, as well,
11 to get a better feel for what the potential of loads
12 doing under different economic -- how they actually play
13 out versus what the forecast is.

14 So, this is one of the tools. This is a scatter
15 pot that demonstrates the correlation between load and
16 temperature. So, being a linear regression model, it
17 likes to see things in a nice, linear fashion. And this
18 curve does not represent that.

19 But there are tools within this model to help
20 you to build that. And so from that, using the tools
21 within the model to, you know, just take a closer look
22 at this and be able to build these splines, we developed
23 three splines to represent this correlation of load and
24 temperature. And to help us build a more accurate
25 model.

1 And this is just a quick look at the outcome of
2 it. The R squared and the MAPE here, we feel that our
3 forecasts are pretty accurate. Our errors are pretty
4 low and they continue to be year after year. Each year
5 does have to be trained to get it to this level, but we
6 feel pretty confident with our load forecast.

7 This is a daily forecast. That's the way we do
8 it currently is we are just forecasting daily peaks.
9 And from that we can come up with our monthly peaks, and
10 annual peaks, and that type of thing.

11 But just one thing you can't really see very
12 well, but the blue line is actually into the forecast
13 period, where using typical weather, and using the
14 economic and demographic inputs, and so forth.

15 In the historical portion, you actually have
16 real GDP information, real weather, real loads. And it
17 actually does a back cast. And behind that red line is
18 actually a blue line. So, only in the last year can you
19 actually see some deviation between the back cast and
20 the actual, the loads that we're seeing. So, it matches
21 pretty well.

22 And this just shows going to an annual forecast.
23 Where Mike Wu here is our lead forecaster, and he built
24 this. In a prior job in Alberta, he did hourly load
25 forecasts for a little bit less than a year out. So,

1 he's got some experience in doing that. So he, in just
2 a couple days' period, put together an hourly model
3 using this tool. Where, over there on the left-hand
4 side, you can see there's a model for each hour that was
5 developed to be able to do an hourly forecast model.
6 This was done pretty quickly. Not going out ten years
7 because we don't do 10-year forecasts. So, you know, if
8 we were going to do ten years, there's a lot more that
9 would need to be considered in doing that type of
10 forecast. But just to put the basic model together, he
11 did it in a couple of days.

12 So, the tool is very adaptable to the type of
13 forecast you want to do. So, we've found a lot of
14 benefit in that at the ISO.

15 And this just gives you a feel for the forecast
16 and the back cast on an hourly basis, where you just
17 look at a particular week and then see the correlation,
18 or just how well the match that the forecast does give
19 you, where the MAPE is 1.32 and R squared is .993. So,
20 building a forecast pretty quickly came out with, at
21 least for that period, a very good correlation.

22 And so, again, though, this is not a 10-year
23 model and there would be -- you wouldn't put a 10-year
24 model in two days, but at least the starts of it are
25 there.

1 And then, this just kind of gives you a feel for
2 the latest forecast we put together. The black line is
3 our historical portion based on actual weather and
4 actual economics, and so forth.

5 We started weather normalizing back in 2003, so
6 the red points are the weather-normalized load. This
7 model is used to do weather normalization, as well. So,
8 we feel that it's just a very robust tool to do just
9 about whatever we're looking to do in our forecast
10 arena.

11 Typically, when you're a forecaster, you don't
12 find that your weather is 1-in-2, and to be able to
13 really compare how you're model's doing, you have to do
14 that through weather normalization. But last year was a
15 pretty unique year. On a system wide basis our load was
16 very close -- or, excuse me, the weather was very close
17 to a 1-in-2 year. So, we were able to compare what was
18 our model doing? And you can see from this that our
19 forecast was 47.257. Our actual 1-in-2 peak demand was
20 47.188. And our normalized peak was 47.167. So, very
21 close to each other. So, this really gave us, I guess,
22 a little bit of pride and some real good feelings that,
23 yeah, our forecast is doing what we think it's doing,
24 And just going beyond the weather normalization we're
25 finding that the forecast is pretty accurate. Again,

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 this is one year out. It's not ten years out.

2 So, just to kind of wrap this up, we just wanted
3 to really give you guys some thinking about, you know,
4 what we would recommend and why we think we would
5 recommend something like this. That you would use a
6 similar tool, either the same one or a different one,
7 but it's the type of tool that we feel could have
8 synergies between the ISO, even the IOUs and the CEC in
9 developing this long-term forecast.

10 The first one is just to talk about -- there's
11 more than one option for a proven platform. So, we
12 don't want to -- we're not giving you the name of our
13 tool. We're not trying to advertise any particular one.
14 But there's more than one to choose from. So, we think
15 that, you know, these tools are well proven out and that
16 shouldn't be a concern.

17 The value in participating in user groups with
18 other entities, like entities, we've found it very
19 valuable and I would assume that you folks would, too.

20 Ease of transition into future needs. As I was
21 showing, just building different types of forecasts
22 pretty quickly, and has been very valuable to us. And
23 continuing to use the same platform, regardless of need,
24 even in our market side of forecasts. We continue to
25 use the same platform. Sometimes they've been improved

CALIFORNIA REPORTING, LLC

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 significantly where we've gone to the next level, but
2 it's still the same platform. The data input files and
3 everything don't change. So, that's pretty beneficial
4 to us.

5 And the synergies in coordination between us and
6 the CEC I think are -- you know, we would be able to
7 just talk about data on a common format. We do provide
8 data, now. We could actually provide those files in a
9 format that would just feed directly into your model.
10 We could give you our model files that have our weather
11 data. Well, maybe not weather data. That's something
12 we'd have to talk about. I'm sure we could give that to
13 you, but I'm sure our weather data provider would like a
14 small fee for that. But that's something that could be
15 done and it could be done with our weather data, as
16 well.

17 It would lead to long-term consistencies between
18 our work that, you know, if you think about it, with the
19 ISO doing day-ahead forecasting, mid-term forecasting,
20 the CEC doing long-term forecasting, where we could
21 develop our own user groups. You know, talking about
22 the type of weather we see in California. What is that
23 doing to our loads? And just have a lot of cross-
24 pollination of what we're learning in our own
25 forecasting processes that could benefit each other.

1 So, with that, that's pretty much my
2 presentation. And I'll be willing to answer any
3 questions you may have.

4 CHAIR WEISENMILLER: No, that's pretty good. I
5 mean, without getting into details, obviously, it would
6 be good to start the conversation. I mean, as Chris
7 knows, or I mentioned earlier, just the weather data
8 part, it's like we use publicly available. We're not
9 sure how well they map the utilities, even less
10 certainty on how well they map to what you're doing on
11 the weather side or, similarly, on econ demo is a big
12 question.

13 I know as we've talked to -- actually, I mean,
14 as part of the Energy Commission for the last 40 years,
15 from time to time it gets into the question of whether
16 it should develop its own short-term forecasting model,
17 since short-term forecasts are much more a function of
18 the economy of weather, than building stock and all the
19 other things we're watching in terms of turnover.

20 So again, I think there's -- we should continue
21 the dialogue and figure out ways we can do better
22 coordination in this area. And again, if there are
23 particularly ways, again on the data side, we can make
24 some progress there, that would be good.

25 MR. EMMERT: Yeah, so we appreciate that and

1 would be happy to work through that. You know, we've
2 been doing, I think, a pretty good job of that, but it
3 doesn't mean we can't do better and look for more
4 opportunities, so we'd be happy to do that.

5 CHAIR WEISENMILLER: Sure. No, I mean, I think,
6 obviously, your agency, my agency, Picker's agency, ARB,
7 all four of us work together pretty closely on stuff.
8 And again, we're looking forward to deepening the
9 relationships.

10 Chris?

11 MR. KAVALEC: Yeah, I just wanted to mention
12 that the way I think about this is that really a model,
13 like we're talking about, has two components. It's a
14 bunch of equations for estimation and it's a platform.

15 CHAIR WEISENMILLER: Right.

16 MR. KAVALEC: I think this tool would be, could
17 be very useful as a platform. So, we estimate a series
18 of equations, we house them in a platform like this, and
19 it gives us a lot of flexibility in terms of testing the
20 model, looking at model results, doing probabilistic
21 forecasts and so on.

22 So, to me, this is, you know, an alternative to
23 taking our model estimation and putting it into
24 something more generic, like SAS.

25 CHAIR WEISENMILLER: Right.

1 MR. KAVALEC: And what's also appealing about
2 this, as well, is the users' group. A lot of people
3 sort of doing the same thing or similar things, and you
4 can learn a lot that way.

5 CHAIR WEISENMILLER: Yeah. No, I agree. I
6 agree. I think, certainly, their expert panel started
7 and one of the things we wanted to do was look at the
8 different types of models, hybrid -- anyway, to start
9 thinking a little bit more, I suppose, to just this --
10 this is the model we've had for 40 years and not going
11 to have for the next 40.

12 Well, I mean, yeah, he's going to have to do a
13 lot with the ISO expansion on the change. I assume
14 that's the option that does the longer term for the
15 other --

16 COMMISSIONER MC ALLISTER: I guess, I would
17 just -- you know, and I know this is a work in progress.
18 But the boundary, the boundary issues of what your
19 analysis is going to cover and then what we do as a
20 State agency, as the ISO expands, it seems like that's
21 worth a quite a bit of thought. You know, you don't
22 want to be redundant but also, we want to make sure that
23 the California analysis is an appropriate California
24 analysis. So, you know, we already have some of those
25 issues and just the not complete membership in the ISO

1 that we have to deal with. You know, so we have non-ISO
2 members, but that's -- and then we're going to have ISO
3 members that are impacting you, but not us, or at least
4 our forecast for example. So, anyway, I'm sure you're
5 thinking about that. But that seems like that might be
6 a challenge going forward.

7 MR. EMMERT: Yeah, we actually are working
8 through some of those issues as we look at expanding the
9 RA program into more of a regional RA outside of
10 California, and how do we coordinate between the
11 forecasts that we would assume currently would still
12 come from the CEC, and roll those into a forecast
13 process where we combine forecasts in the larger
14 footprint.

15 COMMISSIONER MC ALLISTER: Yeah.

16 MR. EMMERT: All right, thank you.

17 CHAIR WEISENMILLER: Thank you.

18 MS. RAITT: Thank you.

19 Next is Ken Schiermeyer from the San Diego Gas &
20 Electric.

21 MR. SCHIERMEYER: I'm Ken Schiermeyer from San
22 Diego Gas & Electric. I'd like to thank the Commission
23 for having me speak on this topic. It is actually one
24 of my favorite topics, too.

25 So, I enjoyed the presentations on this, too.

1 Very enlightening and I would like to see a working
2 group for this, too.

3 You know, I'm going to present what we're doing.
4 But our -- you know, our journey through this isn't
5 complete. It's what we could do now and we have future
6 considerations that we'd like to incorporate, too.

7 Our hourly forecasting process was actually born
8 from short-term models. So, I'll go into that a little
9 bit later. But, you know, like what Chris is trying to
10 do, we're trying to reconstitute what we think
11 consumption is and forecast that. And then, include
12 hourly load modifiers to get a look at what impacts
13 those have on future load shapes.

14 Currently, the modifiers include solar and
15 electric vehicles, and energy efficiency in the later
16 years, especially. I know the CEC has made available,
17 you know, some of those AAEE hourly load shapes. And
18 we'd like to be a part of that conversation in the
19 future, too.

20 And then, future considerations will be the
21 impacts of battery storage. That's what that happy face
22 thing is. Other people got confused that that was an
23 appliance, but I guess it could be both, you know. And
24 then, the impact of time of use rates in the future.

25 We forecast hourly loads by rate class and we do

1 so as the way -- for the reasons that Chris described
2 before. If you have one class that is growing at a
3 faster rate than another, you want to incorporate that
4 impact into future loads. We split it up between
5 residential, small commercial, medium, large commercial,
6 agriculture and lighting.

7 We're using historical Smart Meter data. Right
8 now we have 2013 through '15 and that's because of the
9 availability of Smart Meter data. We'd certainly like
10 to use more, you know, as time goes along.

11 We incorporate weather data. Ours is currently
12 in a daily format. And a lot of calendar information.
13 And then, anything else for other that you think will
14 impact hourly loads in the future.

15 Alan, I especially liked your presentation. And
16 we currently don't include impacts like that, but I see
17 that being, you know, what we'll do in the future.

18 These hourly models are -- they're hourly, so
19 there's 24 for each day, you know, for each rate class.
20 And we combine them to create a forecasted load shape.

21 For controlling electric vehicles and rooftop
22 solar, like I said, we add it back to the net load to
23 come up with a consumption level load. Except for
24 electric vehicles, we take them out because they have
25 such a different load shape than the typical system load

1 shape.

2 And we forecast hourly consumption and then we
3 adjust those hourly consumption estimates by subtracting
4 out PV and adding back the EV.

5 Here's an example of forecasted 2016
6 nonresidential loads. So, you can see, you know, the
7 patterns. It's hourly level data. And it's hard to see
8 because you have 8760. But you can kind of see kind of
9 the seasonal patterns, at least.

10 And then the residential sector, you see -- we
11 designed this on normal load or normal weather. And
12 that's kind of a lengthy process and maybe for a
13 workshop. But, typically, San Diego sees mild weather
14 most of the year, and then we have these heat storms, a
15 couple of them every year.

16 Going down into an example, and this goes --
17 this kind of incorporates some of the previous
18 presentations that we saw today regarding peak shifts.
19 And on the left you see our solar generation estimate
20 and below that you'll see the electric vehicle load.

21 And in the final load, what our model, at least
22 on a consumption basis is estimating, is the blue plus
23 the yellow. And to come up with net system load, we
24 subtract off the yellow and add in the red, which is
25 electric vehicle load.

1 And in this example, you can see, you know, the
2 peak being close to noon, you know, prior to solar, and
3 then being pushed out into the evening hours.

4 Here's a system peak day. This one, you know,
5 it does shift a little bit but not as much, I think
6 because of the air conditioning load, it's so large in
7 the middle of the day. But from what I've finding, you
8 know, the needs of this hourly data, it's not so much
9 the peak day, only, that people are interested in,
10 they're interested in all the other days, too. You
11 know, about when customers are using energy, on an
12 hourly basis.

13 You know, again, future considerations, you
14 know, the battery storage and the time of use impacts.
15 And then, you know, also incorporating, for the longer-
16 term forecasts, a lot of these end use indices that will
17 affect consumption loads in the future.

18 But with this -- you know, with this kind of
19 platform, we feel like it gives us a flexible tool to
20 handle or evaluate impacts on system peak in the future.

21 That's all I have.

22 COMMISSIONER MC ALLISTER: So, just a question
23 on the EV loads. As they -- you know, we've got a big
24 goal, expecting the EVs to go up, going forward, quite a
25 bit. And I noticed on that bottom graph, you know,

1 you've got quite a bit of sort of on-peak charging right
2 there. I mean, it's nothing like the nighttime, which
3 is great.

4 MR. SCHIERMEYER: Yeah.

5 COMMISSIONER MC ALLISTER: I mean, you know,
6 sort of pushing it to the nighttime is sort of the
7 traditional management. But I guess now, that we're
8 going to have all this energy in the middle of the day,
9 I wonder if SDG&E's going to try to give folks an
10 incentive to really charge in the middle of the day?

11 MR. SCHIERMEYER: Yeah, to develop this load
12 shape, we used the -- there was an EV study from
13 EcoTality a few years back. And we combined load shapes
14 based on different control groups. We noticed that --
15 we had an estimate of how many electric vehicles were in
16 our service territory, but only I'd say roughly half
17 were on TOU rates. And so, they had no incentive to
18 charge off-peak.

19 But I think over time, you know, as customers
20 try to reduce their bills, more and more of them will
21 move to TOU rates and charge off-peak.

22 So, in the '16 forecast you see more there. But
23 if we were to do a 2026 forecast, you'd see less.

24 COMMISSIONER MC ALLISTER: Yeah, good. Great,
25 thanks.

1 MR. SCHIERMEYER: Uh-hum.

2 CHAIR WEISENMILLER: And, obviously, you have a
3 relatively small service area, you have lots of solar,
4 you have lots of EV, in a way, although I think it may
5 be more EV percentage wise, obviously. But just trying
6 to figure out how do you deal with, you know, say
7 Borrego Springs versus downtown? I mean, how much do
8 you differentiate, if at all, across the different
9 areas?

10 MR. SCHIERMEYER: Yeah, in this analysis we
11 don't quite separate out by areas at this point. But,
12 yeah, I do see, you know, Borrego, a very small
13 community, with a lot of things going on there versus a
14 very highly populated like downtown. That might be a
15 future consideration to, you know, break these down into
16 even finer levels.

17 Right now, we're forecasting residential at a
18 system level but, you know, given the availability of
19 Smart Meter data you might -- you might be able to go
20 down to different segments. At least coastal, inland,
21 you know.

22 CHAIR WEISENMILLER: Yeah, and thanks for being
23 here. And would certainly encourage you, and others, to
24 continue the dialogue on these issues.

25 MR. SCHIERMEYER: For sure, yeah. Thank you.

1 COMMISSIONER MC ALLISTER: Thanks.

2 MS. RAITT: Thank you.

3 So, next, we have an opportunity for comments
4 from the audience, if anyone had comments.

5 Okay, then we'll move on to Chris Kavalec,
6 again, speaking on Geographic Disaggregation.

7 MR. KAVALEC: Okay, this is really just sort of
8 a status update and it will be real quick because we're
9 just kind of starting this process.

10 We've had some discussions, recently, with PG&E
11 and Edison about sort of optimizing the geography at
12 which we forecast, to make our forecast as useful as
13 possible for their transmission planning. So, that's
14 what this is about.

15 And first, just a review of what our current
16 geography looks like. We have eight planning areas that
17 are based on Balancing Authority areas and transmission
18 and access charge areas. And within those eight
19 planning areas we have 20 forecast zones, most of which
20 are in CAISO, obviously, because CAISO's most of the
21 State. And the ones that -- and these approximate what
22 CAISO calls their transmission zones.

23 But they're based on county borders, due to the
24 constraints we have in terms of projecting economic and
25 demographic variables. So, this is always an issue, you

1 know, political boundaries that constrain our forecast
2 versus the physical infrastructure.

3 So, the planning areas, PG&E has most of the
4 north, Southern California Edison is most of the south.
5 And we have San Diego and Imperial in the far south, a
6 couple of planning areas within L.A. County. And then
7 we have what we call Northern California non-CAISO,
8 which is just what it sounds like. Those not within the
9 CAISO territory, but in Northern California.

10 And here are the 20 forecast zones. We have six
11 within PG&E, five within Southern California Edison.
12 LADWP has a couple of forecast zones, and Northern
13 California non-CAISO has another three forecast zones.

14 So, this is where we are now in terms of our
15 geography. And currently, the IOUs use the IEPR
16 forecast as a benchmark for their transmission planning,
17 as they go from the bottom up, at the TAC or service
18 territory level.

19 So, our goal is to develop a more disaggregate,
20 optimal geography IEPR forecast to better serve their
21 transmission planning. So, that would mean that their
22 top down -- or their bottoms up utility results would be
23 benchmarked to a higher granularity geographically than
24 the total service territory level.

25 So, we've been talking to PG&E, and Southern

1 California Edison, and we will soon be talking to San
2 Diego.

3 So, for Southern California Edison, they have
4 suggested that the IEPR forecast go down to the A-Bank
5 substation level or some aggregations of the A-Bank.

6 The A-Bank is the step down from the
7 transmission to the sub-transmission level. And then
8 they go to the B Bank, which is a further step down to
9 the distribution level.

10 But anyway, there are 50 of these A-Bank
11 substations. So, our next step is to sit down with the
12 Edison transmission planners and investigate, figure out
13 the feasibility of mapping our IEPR forecast into a
14 geography that approximates the A-Banks or groups of A-
15 Banks.

16 Now, PG&E, on the other hand, is much less
17 centralized. They don't have anything comparable to the
18 A-Banks. It's just the way that the system was built a
19 long time ago. So, our task here is to develop a
20 grouping of around, within 1,400 distribution
21 substations into a manageable number of sub-areas.

22 And so, we've had discussions in the last month
23 with PG&E, and talked about everything from the sub-lap
24 level, all the way up to the transmission division.

25 And our next step, we agreed on with PG&E, is to

1 do a GIS comparison and see how closely our forecast
2 zones can be mapped or sections of our forecast zones
3 can be mapped to transmission divisions.

4 And so, that's where we are now. And so, we'll
5 keep you apprised of these discussions as they happen,
6 and I'll let -- after the Commissioners, any
7 Commissioner questions or comments, I'll let Edison and
8 PG&E comment on this, if they want to.

9 CHAIR WEISENMILLER: No, that's good. I would
10 obviously want to get the ISO's opinion and encourage
11 you to connect with at least LADWP and SMUD on similar
12 questions.

13 MR. KAVALEC: Okay.

14 CHAIR WEISENMILLER: And at least then,
15 obviously, we have the whole IRP crowd, and then may or
16 may not get into the specific question.

17 COMMISSIONER MC ALLISTER: Yeah, I guess is this
18 sort of a fingers-crossed they match up well and, you
19 know, you get some group of sub-laps that do correspond?
20 And if you don't, I guess is what's the plan B?

21 MR. KAVALEC: There is no plan B.

22 COMMISSIONER MC ALLISTER: Okay.

23 MR. KAVALEC: Yet. But a quick look, at least
24 on the PG&E side, many of their transmission divisions
25 correspond to county borders, which is very helpful for

1 us, in our forecasting.

2 COMMISSIONER MC ALLISTER: Okay. Well, that's
3 good. So, I have my fingers crossed. Okay, great.
4 Thanks.

5 MR. KAVALEC: Okay.

6 COMMISSIONER MC ALLISTER: Was that a call for
7 Edison or PG&E to make a comment or --

8 MR. KAVALEC: That's right.

9 COMMISSIONER MC ALLISTER: -- if they want?

10 MS. RANDOLPH: I don't see anybody jumping to
11 the podium.

12 So, that would take us to the public comment
13 period. I didn't receive any blue cards. But if you
14 can raise your hand or step up to the podium, if you
15 have any comments.

16 KHALA: Hello, my name is Khala and I work with
17 NRDC. WE would like to thank the Commission and staff
18 for all their important work to improve data and
19 analytic techniques in the demand forecast. And also,
20 for increasing coordination between the ISO, CPUC, and
21 CEC.

22 These 8760 load profiles of AAEE and other
23 distributed energy resources are a huge step forward,
24 already opening this conversation on when the peak hour
25 and ramp-up hours will be in the future.

1 NRDC wants to make sure the hourly AAEE forecast
2 is an accurate representation of energy efficiency
3 throughout the day. Right now, we see that the AAEE
4 forecast load shape mirrors the overall load shape. And
5 we hope staff will look into this more in the future and
6 make sure that this is an accurate representation.

7 NRDC is very encouraged by all the progress on
8 the demand forecast and we look forward to working with
9 the CEC to make sure we plan for the targets set by SB
10 350. Thank you.

11 CHAIR WEISENMILLER: Okay, thanks for being
12 here. We certainly than NRDC for their help in this
13 activity.

14 COMMISSIONER MC ALLISTER: Is that it? Nobody
15 else?

16 MS. RAITT: Anybody else? We don't have anybody
17 on WebEx. I may have phone lines to open up.

18 And we don't have any phone lines, so I think
19 we're done with public comment.

20 COMMISSIONER MC ALLISTER: Okay. Well, great.
21 I guess I just want to make a couple comments. So, this
22 is, again, we talked a little bit about what's upcoming
23 in future workshops. But, you know, absolutely we could
24 definitely dig in on the demand side stuff, the whole
25 energy efficiency, obviously, front and center. We have

1 a big goal in SB 350 to double it. Well, you know, goal
2 setting, what does that actually mean? And I think it's
3 pretty clear, just to build on that comment from NRDC,
4 you know, we need to target energy efficiency in a way
5 that's relevant for this discussion, and we need to have
6 the tools to quantify how that's working. You know,
7 where is the energy turning up geographically and
8 temporally.

9 So we do, you know, absolutely have to build
10 analytical tools and data flows that enable us to get a
11 handle on that, and really track it going forward.
12 Because the last thing we want is to have this sort of,
13 okay, here's what we think's going to happen in the
14 future, but then get to the future and not be able to
15 look back and understand what happened.

16 So, we really need it for both the forecast and
17 the retrospective look.

18 It's important for policy development at all
19 levels, including programs for energy efficiency, and as
20 well as the forecast. So, this analytical task that
21 we're embarking upon has all sorts of benefits, if it's
22 done correctly. And so, you know, if it's done
23 correctly, so we really need to focus on this, this
24 year.

25 Demand response is the same sort of thing.

1 We've got a program at the ISO, we've got a program at
2 the PUC, with the investor owned utilities at the retail
3 level, and both of those are sort of nascent. So, we've
4 got to build in the understanding, you know, capture the
5 understanding from those efforts to target our programs,
6 and policies and, really, our funding decisions and what
7 we ask the Legislature to support and what we propose to
8 the Governor. You know, that how are we going to move
9 forward in a way that really gets this done, working
10 with the marketplace.

11 So, for all these reasons, this work that we've
12 talked about today is really, really important and I
13 would encourage everybody, who's interested in this, to
14 keep participating. I believe it's the 11th and then
15 the 27th we have workshops that are related to the --
16 particularly the forecasting methodology and, in
17 particular, related to energy efficiency. Obviously, of
18 interest to me.

19 And it's a great opportunity, really, to move
20 into the 21st Century, to put together the duals that we
21 need both to plan and to evaluate. And I think,
22 increasingly, the various types of resources will
23 require similar tools. So, demand response, efficiency,
24 whether it's supply, whether it's storage, whatever.
25 All of those will have attributes that we need to

1 understand and that will have to complement each other
2 as we plan.

3 So, I think there is a lot of urgency to get to
4 this discussion and, you know, we're going to have to
5 put some resources in this and build the tools that we
6 need.

7 So, I want to thank Chris and staff for drawing
8 this discussion in the forecasting context.

9 CHAIR WEISENMILLER: Yeah. No, I certainly want
10 to thank people for their contribution today and
11 encourage the dialogue to go along.

12 And I think, I tried to indicate this morning
13 is, obviously, there are some degree of silos, or boxes,
14 although we're connecting across those. So, in the
15 IEPR, we're looking at forecasting issues.

16 At the same time, there's two other proceedings
17 or dockets that I encourage folks to take sort of a
18 holistic look across them. And one of them is 802 and
19 the other one is the IRP.

20 And so, as we go forward, basically, some of
21 events will pop up in one of these three venues.
22 Certainly, the two of us are trying to integrate over
23 the top of those. And again, this is the mechanics of
24 forecasting. Certainly, the meeting of the doubling
25 goal is -- you know, it's hard at times to draw the

1 lines between what's in this, what's in 802, versus
2 what's in the IRP. But we're trying to take, anyway, a
3 somewhat coherent approach.

4 We're also, in the 802, is going to drive a lot
5 of the data questions.

6 But as Commissioner McAllister indicated, for
7 the doubling issue, the first question is going to be
8 what is the baseline, and that's sort of an upcoming
9 IEPR workshop. And then, there's the goal-setting
10 activity going forward.

11 While President Picker and I are having more,
12 you know, looking at the doubling in the context of the
13 forecast workshop. So, anyways, it's going to be a busy
14 year, decade, to try to sort through all this.

15 And so, anyway, we look forward to your help.
16 Certainly, written comments are due. And, you know,
17 particularly look at the various dockets. So, there are
18 parts of this that are more interesting -- anyway, just
19 trying to avoid someone saying I was really interested
20 in X, but you didn't tell me that it was in this other
21 docket. But, so to keep your eye on this, IRP and 802,
22 right.

23 So, thanks again.

24 (Thereupon, the Workshop was adjourned at


25 3:25 p.m.)

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 13th day of July, 2016.



Kent Odell
CER**00548

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 13th day of July, 2016.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520