

DOCKETED

Docket Number:	16-IEPR-02
Project Title:	Natural Gas
TN #:	212394
Document Title:	Transcript of the 06/06/2016 Joint Agency Symposium and IEPR Workshop
Description:	JOINT AGENCY SYMPOSIUM AND IEPR WORKSHOP ON METHANE EMISSIONS FROM CALIFORNIA'S NATURAL GAS SYSTEM: CHALLENGES AND SOLUTIONS
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/22/2016 1:44:58 PM
Docketed Date:	7/22/2016

BEFORE THE CALIFORNIA ENERGY COMMISSION
JOINT AGENCY SYMPOSIUM AND IEPR WORKSHOP ON METHANE
EMMISSIONS FROM CALIFORNIA'S NATURAL GAS SYSTEM:
CHALLENGES AND SOLUTIONS

In the Matter of:)
) Docket No. 16-IEPR-02
2016 Integrated Energy Policy)
Report Update (2016 IEPR Update))
_____)

CalEPA BUILDING
BYRON SHER AUDITORIUM
1001 I STREET
SACRAMENTO, CALIFORNIA

MONDAY, JUNE 6, 2016

8:00 A.M.

Reported by:
Peter Petty

APPEARANCES

JOINT AGENCY PARTICIPANTS

CARB

Carolyn Lozo, Oil and Gas Branch

Floyd Vergara, Chief of Industrial Strategies Division

Kathleen Kozawa, Oil and Gas Branch

Jorn Herner, Chief of Research and Planning Administration
and Emission Mitigation Branch

Anny Huang, Manager, Greenhouse Gas Emission Inventory and
Analysis Section, Air Resources Board

Luis Leyva

California Energy Commission

Karen Douglas, IEPR Lead Commissioner

Yu Hou, Air Resource Engineer

Laurie ten Hope, Deputy Director of Research

California Public Utilities Commission (CPUC)

Tim Sullivan, Executive Director

OTHER PRESENTERS

James Bradbury, Senior Policy Adviser, U.S. Department of
Energy, Office of Energy Policy and Systems Analysis

Adam Brandt, Stanford University

Marc Fischer, Lawrence Berkeley National Laboratory

Ramon Alvarez, Environmental Defense Fund

Christine Wiley, Gas Technology Institute

APPEARANCES

OTHER PRESENTERS

Robert Jackson, Stanford University

Steven Conley, University of California Davis

Chip Miller, Jet Propulsion Laboratory

Colm Sweeney, National Oceanic and Atmospheric Association

Nate Gorence, Department of Energy

Lance Christensen, Jet Propulsion Laboratory

Chris Rella, Picarro

PUBLIC COMMENT

Keith Driver, Cap-Op Energy

Ed Newton, Southern California Gas Company

Bill Westerfield, Sacramento Municipal Utility District

Lucas Marsalek, SCS Engineers

Wiley Rhodes, Newpoint

Tim O'Connor, Environmental Defense Fund

Yousheng Zeng, Providence Photonics, LLC

McKinley Addy, AdTra

Gregg Parson, United Electric Controls

Elizabeth Scheehle, California Air Resources Board

Lorraine Lundquist (Telephonically)

AGENDA

	<u>Page</u>
Introductions and Opening Comments	1
Agency Priorities	3
Symposium Overview	15
 1. Research, Initiatives and Needs	
A. Investigating Methane Emissions and Natural Gas System	21
B. Methane Research Initiatives and Needs In California	27
C. Federal Strategies to Cut Methane Emissions From Natural Gas Systems	37
D. Current and Future Work at Stanford on Natural Gas and Methane	54
 2. Methane Emissions and Methods	
A. California Methane Inventory Needs and Gaps	75
B. Methane Leakage From the Oil and Gas Operations	90
C. Methane Emissions from Natural Gas Distribution Pipelines in California	108
D. Methane Sources and Emissions	119
 3. Methane Emissions and Measurements	
A. Airborne Estimation of Surface Emissions	139
B. From Wells to Burners: Methane Emissions from California Natural Gas	150

AGENDAPage

C.	Methane Hotspots in California	166
D.	Aerial Mass Balance Studies Throughout the United States	180

AGENDAPage

4. Current and Emerging Technologies in Methane Measurements
 - A. From Mobile to Stationary: Current and Emerging Tech in Methane Measurements
 - B. Advanced Research Projects Agency-Energy (ARPA-E) MONITOR Projects
 - C. sUAS and Application for Methane Measurement
 - E. Assessing Emissions from the Natural Gas Distribution System Using Mobile Methane Techniques
5. Public Comment Period - CEC IEPR Workshop Only
6. Adjourned

P R O C E E D I N G S

8:16 A.M.

SACRAMENTO, CALIFORNIA, MONDAY, JUNE 6, 2016

MS. LOZO: And welcome to our symposium, Methane Emissions from California's Natural Gas System: Challenges and Solutions. This is a Joint Agency symposium hosted by the Air Resources Board, the California Energy Commission, and the Public Utilities Commission.

I'm Carolyn Lozo. I'm a manager here at the Air Resources Board in the Oil and Gas Branch.

This symposium is also serving as one of CEC's Integrated Energy Policy Report or IEPR Workshops. We have a lot of information to present to you over the next couple of days, and I think that we'll come away a little more informed, inspired, hopefully, and having sparked some good conversation around the issues surrounding the natural gas that we use here in California.

I have some very general announcements to start with. The restrooms are out of the back of the auditorium to the left, down the hallway. There's also a water fountain that direction. The café is downstairs. It will be open until 3:30 today and tomorrow. We also have some coffee and water out in the little alcove to the right as you go out the doors, the little alcove to the right, so

1 help yourself to that.

2 Also, if the fire alarm does happen to go off,
3 please go down the stairs, out the front main entrance, and
4 then across the street to Cesar Chavez Park.

5 Also, please note that we will be posting all of
6 the presentations on our website after the symposium is
7 over, so look forward to that.

8 Both days of the symposium will be recorded,
9 that's for the CEC IEPR Workshop purposes.

10 And also for the IEPR Workshop, the CEC will be
11 taking public comments at the end, just at the end of each
12 day, both today and tomorrow. Those public comments are for
13 the CEC IEPR workshop only. They're not for any other
14 regulatory or programmatic purposes. But there are some
15 blue cards at the back of the room. If you do want to do --
16 or give us a public comment for the CEC IEPR Workshop,
17 please fill out the blue comment cards and you can leave
18 those back there.

19 We will be having a question and answer period
20 after each presentation, so we've got some microphones set
21 up if you'd like to ask a question.

22 Also, if you are participating via webcast and
23 you'd like to ask a question, you can send that to us via
24 email. Send it to auditorium@calepa.ca.gov. and we'll try
25 to get to those questions, as many as possible.

1 Okay, and then finally, we're having two policy
2 panels tomorrow, and another opportunity to ask a question.
3 If you would like to ask a question, we have some white
4 pieces of paper at the back of the room. You can leave your
5 question there and we'll try to get to those questions with
6 the policy panel.

7 And then also, one last thing, you may have
8 noticed, we have a hashtag, #containmethane. You may have
9 seen the little cards around. If you'd like to join that
10 conversation, please do so, #containmethane.

11 And beyond that, I'd just like to introduce, to
12 get us started, Floyd Vergara, Chief of the Industrial
13 Strategies Division here at ARB.

14 MR. VERGARA: Thanks, Carolyn.

15 Good morning, everyone. Again, I'm Floyd Vergara.
16 I'm the Chief of the Industrial Strategies Division here at
17 the Air Resources Board. Just to give you some context, my
18 shop has oversight responsibilities for a number of our
19 major climate change programs, including Cap and Trade, Low
20 Carbon Fuel Standards, short-lived climate pollutants which
21 we'll talk about a little bit later, oil and gas waste
22 programs, and energy. So all the fun stuff is in my shop.

23 Again, welcome to this joint symposium of the Air
24 Resources Board and our colleagues at the Energy Commission,
25 and also the Public Utilities Commission. I'm very excited

1 to be here kicking off this very important and timely
2 symposium on methane. This symposium represents one of the
3 many efforts ARB is undertaking to reduce emissions of
4 short-lived climate pollutants, particularly methane. And
5 the symposium also supports ARB's long-term climate goals.

6 So just to provide some context and framing,
7 methane emissions from California's natural gas
8 infrastructure are an important source for which the state
9 is developing or implementing a number of control measures.
10 For example, the Air Board next month will consider a
11 regulation to implement GHG emissions standards for crude
12 oil and natural gas facilities. The draft proposal was just
13 released last week and covers natural gas storage
14 facilities, as well as production and processing.

15 ARB is also consulting with PUC on their ongoing
16 efforts to reduce emissions from the transportation and
17 distribution sector. These efforts, along with efforts at
18 the local air pollution control districts and our sister
19 agency at the Division of Oil, Gas and Geothermal Resources,
20 or DOGGR, reflect a concerted multi-level effort to
21 implement meaningful control measures on the emissions of
22 methane gas from the existing production, transport and
23 distribution system.

24 Overall, we have committed to reduce methane
25 emissions from oil and gas systems within California by 40

1 to 45 percent from current levels by 2025, equivalent to
2 about 8 million metric tons of Co2 on a 20-year time scale.
3 However, this is does not address upstream emissions related
4 to the imported natural gas we consume within the state.

5 Recent and past events, including San Bruno and
6 Aliso Canyon, are a stark reminder of the dangers and
7 dependencies we have on natural gas in California where 90
8 percent of the state's demand is imported from out-of-state
9 resources. At this symposium we aim to understand any
10 additional areas of methane emission reductions in
11 California and begin these important discussions about how
12 we can work to account for and reduce methane emissions
13 associated with natural gas that we import.

14 As our agencies move forward with reducing methane
15 emissions from natural gas use in California, it's also
16 important to keep in mind that meeting our long-term climate
17 goals will require a rapid decline of oil and natural gas
18 demand and increased use of renewable natural gas in
19 applications where that's not currently feasible.

20 I'm looking forward to an exciting two days
21 covering a wide variety of methane-related topics. And with
22 that, I'd like to hand the microphone over to our colleague,
23 Commission Karen Douglas from the Energy Commission. Thank
24 you.

25 COMMISSIONER DOUGLAS: Thank you. Thank you,

1 Floyd.

2 Good morning everybody. I am, as Floyd said, a
3 Commissioner of the California Energy Commission. And I'm
4 the Lead of this year's Independent Energy Policy Report or
5 IEPR. The Energy Commission's IEPR gathers data and
6 information on a wide range of matters concerning
7 electricity, natural gas, transportation, energy efficiency,
8 renewables and more. And in the 2015 IEPR that we adopted
9 earlier this year the Energy Commission called for an
10 evaluation of the state of the science as to methane
11 leakage, essentially upstream methane leakage from the
12 natural gas system. And so this is a topic that we're very
13 pleased to be working with, ARB and the PUC, on -- with this
14 workshop.

15 As Floyd mentioned, the importance of this issues
16 was, unfortunately, underscored by a couple of events. And
17 I'll speak more about the Aliso Canyon gas leak that was
18 detected at Southern California Gas Company's storage
19 facility on October 23rd of last year.

20 In response to this event, a moratorium was placed
21 on injections to the storage facility, as I think everyone
22 here probably has been following this issue. But the
23 governor issued an emergency proclamation calling on the
24 Energy Commission, the California Public Utilities
25 Commission, the California Independent System Operator to

1 work together and take all actions necessary to ensure the
2 continued reliability of natural gas and electricity
3 supplies during the moratorium on gas injections.

4 And so in response to that we worked first on
5 ensuring winter reliability in terms of electricity and
6 natural gas supplies, but particularly electricity
7 reliability over the winter. And with that secured we've
8 been working closely with agency partners and with Los
9 Angeles Department of Water and Power on summer reliability.
10 And we issued an action report, together with LADWP, a
11 technical assessment and action plan, to analyze and prepare
12 for issues that might arise this summer.

13 The report shows that Aliso Canyon plays an
14 essential role in Greater L.A. natural gas and electricity
15 reliability. It serves 11 million customers and 17 power
16 plants. And the moratorium on injections there creates the
17 possibility of up to 14 days during the summer in which gas
18 curtailments could cause electricity service interruptions.

19 We're working very hard to avoid any such
20 curtailments with our partners, with other agencies. We
21 have issued an update to the action plan that calls on all
22 of us to put forward mitigation measures, including prudent
23 use of remaining stored gas, completion of needed safety
24 reviews as quickly as possible, and deployment of efficiency
25 conservation, demand response programs, Flex Alerts,

1 acceleration of other storage opportunities, protection of
2 ratepayers and so on as this situation unfolds. But it is
3 serious and we do have a high reliance on that storage
4 facility.

5 So we're continuing to work with our sister
6 agencies and utilities in Southern California to monitor
7 summer reliability. And we've started to assess next winter
8 risk. Senator Pavley's Senate Bill 380 sets clear next
9 steps for state agencies in this matter, and we've moving
10 forward in accordance to that bill.

11 Next year the Energy Commission, again, through
12 the IEPR is going to take on the longer-term assessment
13 called for in the emergency proclamation to consider the
14 role of natural gas in our broader system, in light of our
15 longer-term climate goals.

16 We've got a number of additional workshops to
17 assess the impact of Aliso Canyon on Southern California
18 refineries -- well, one additional workshop on that topic,
19 but we've got a couple additional workshops on the broader
20 topic this summer.

21 The purpose of today's workshop is to bring
22 together industry academics, governmental and non-
23 governmental entities and other interested stakeholders to
24 discuss the status of research, science and gaps in the
25 current knowledge and research needs associated with methane

1 emission leakage, and to share ideas to both improve the
2 information we have and improve our knowledge as we move
3 forward in a policy-setting role in this area.

4 I'd like to thank the California Air Resources
5 Board, in particular, for their hard work in putting this
6 workshop, this two-day workshop, together and their
7 partnership with us in making this a joint workshop. And
8 also thank the CUPC which also contributed a significant
9 amount of expertise and ideas and helped frame the workshop.

10 So with that, I'll look forward to getting
11 started, and thank you all for being here.

12 MS. SULLIVAN: Good morning. I'm Tim Sullivan.
13 I'm the Executive Director of the California Public
14 Utilities Commission. I'm glad to be here at this exciting
15 conference, bringing together methane emissions, leak
16 detection and gas policy.

17 Why is the California Public Utilities Commission
18 a sponsor of this Joint Agency Symposium?

19 Well, the Public Utilities Commission has 1,000
20 employees. The commission regulates services and utilities,
21 protects consumers, safeguards the environment, and assures
22 California access to safe and reliable utility
23 infrastructure and services on all California
24 infrastructure, subject to our jurisdiction and oversight.
25 We basically do four things. We ensure access of all

1 Californians to the services and benefits of the energy,
2 communications and water infrastructure. We subsidize
3 communication consumption at about \$1 billion a year. We
4 subsidize energy consumption to the tune of \$1 billion a
5 year. We also work to ensure its safety. And as any of you
6 know who have been reading the newspapers, the California
7 infrastructure is aging. And we seem to go from accident to
8 accident, particularly in the gas distribution and
9 transmission system.

10 We also work to promote the environment. We have
11 \$1 billion Energy Efficiency Program. We administer CEQA
12 for most energy facilities in the state. We are the drivers
13 of the State's Commission to Renewable Energy. And with the
14 passage of recent legislation, we are now responsible for
15 reduction of greenhouse gases. We regulate. And those are
16 sort of the things that you do that no one really thinks
17 about.

18 The basic thing we do is we regulate companies
19 within our jurisdiction to ensure reasonableness of rates
20 and the quality of service.

21 Now what does that mean for the gas industry?

22 Well, basically, we regulate the companies that
23 provide virtually all of the natural gas in California. We
24 regulate Southern California Gas which is the second largest
25 gas utility in the country in terms of sales revenue. We

1 regulate Pacific Gas & Electric which is the fifth. And we
2 also regulate Southwest Gas who is, actually, also in the
3 top ten, but they only serve a sliver of the state up by
4 Reno, and Big Bear Lake in the south.

5 We also regulate storage facilities. Obviously,
6 the famous Aliso Canyon which we've had such a methane
7 catastrophe, but we also regulate Lodi Gas and Central
8 Valley Storage.

9 Californians also consume a lot of gas, 2.2
10 trillion cubic feet per year which is the second largest in
11 the United States, just behind Texas. There are 13,000
12 transmission pipeline of which we share jurisdiction with
13 the federal government. But there are 200,000 miles of
14 distribution pipeline, and that's subject to our
15 jurisdiction. It's basically our job. There are 10.8
16 million customers.

17 So what does that -- so what do we conclude?

18 Californians consume a lot of gas. And the
19 commission is either wholly responsible or shares
20 responsibility with other state agencies for ensuring its
21 safety, for protecting the environment, for ensuring its
22 availability, and for the reasonableness of rates.

23 Now what's new in our world?

24 Well, in 2014 the legislation passed the bill
25 known as Senate Bill 1371. And that asked us to step up the

1 regulation of fugitive methane emissions beyond what we have
2 historically done. It restructured the regulation of
3 methane emissions by considering for the first time the
4 environmental impacts and the risk associated with potential
5 emissions. Clearly, there was some foresight there since
6 major disasters have actually followed. But this bill now
7 requires us to rethink and reconsider how we monitor, report
8 and manage this critical infrastructure. This bill directed
9 the Public Utilities Commission in particular to establish
10 technology-based standards that are focused on the
11 prevention, reduction and repair of methane leaks,
12 monitoring and repair protocols, identifying best practices,
13 developing performance metrics, and annual reporting and
14 evaluation.

15 Now not just the legislature has tasked us with
16 this, but Governor Brown, who is largely our boss, has
17 directed that California must reduce the relentless emission
18 and release of methane. This, just if you think about those
19 numbers I said before, the 2.2 trillion feet, the over 10
20 million customers, this will require enormous innovation,
21 research and investment by both the public and private
22 sector.

23 Why are methane leaks important and where do
24 methane emissions come from?

25 Well, I'm going to digress here and tell a

1 personal story. A few years ago I smelled gas outside of my
2 house. I checked the meter, it was not spinning. I then
3 crawled under the house. I didn't smell gas there, so I
4 decided that it was probably nothing.

5 A few weeks later we had a house sitter come by to
6 sit at our house. She was an elderly and stubborn person.
7 She told me that she smelled gas and I should do something
8 about it. So what I did is I called PG&E and they came and
9 fixed a leak at the gas meter.

10 So the question I have: Is this a big or a small
11 thing?

12 Well, actually, it turns out it's a pretty big
13 thing. Current estimates are that leaks at the meter
14 account for 45 to 50 percent of all methane leaks in the
15 state of California. These are only estimates. And I have
16 to tell you and I have to praise the Air Resources Board
17 which is funding research by the Gas Technology Institute in
18 order to measure emissions from a representative sample of
19 meter sets and develop a more reliable estimate.

20 Well, what does this mean?

21 Well, there are over 10 million meters in
22 California. Checking for leaks and fixing the leaks will
23 not be cheap. If this step is taken it will be the
24 commission, my commission, that oversees the process and
25 changes rates to pay for it. The commission will need to

1 ensure that what the commission does, that whatever
2 regulations or programs we initiate provide value to
3 Californians for the dollars that they pay. Suppose it
4 takes as little as \$25.00 to check a meter for emissions.
5 Well, 10 million meters, you've got a quarter of a billion
6 dollars. So whatever we do the money and costs mount up
7 quick.

8 There are, of course, other sources of methane
9 leaks, and they can occur anywhere from the wellhead to the
10 burner tip. It was mentioned earlier, 90 percent of the gas
11 used in California comes from out of state, so it travels a
12 long way. So we need a collaborative effort in the west to
13 build partnerships between state agencies, between
14 government and industry, between states, and between states
15 and the federal government.

16 In my view, this symposium could not be more
17 appropriate, more timely or more needed. I want
18 particularly to thank my sister agencies, the Air Resources
19 Board and the California Energy Commission, for working
20 together with my staff to make this event a reality. I want
21 to thank in particular all of you who have made the
22 commitment and taken the time to come to Sacramento today
23 and tomorrow to address this critical issue. I hope this
24 symposium will be viewed sometime in the future as the
25 starting point of a larger regional effort here in the west

1 to not only reduce the environmental impact, but also to
2 improve the economic efficiency of the natural gas industry.

3 My staff and I look forward to the research you
4 present, and we will be acting on it. The SB -- I can't
5 remember the number -- 1371 has triggered a proceeding. And
6 what we are doing in that proceeding is we're integrating
7 all the facts we can into programs for California.

8 I want to thank you. And I think I should
9 introduce Kathleen Kozawa of the California Air Resources
10 Board who will now provide an overview of the symposium.

11 MS. KOZAWA: Thank you, Tim.

12 And thank you, all the representatives, for being
13 here to speak on agency priorities. I feel like they've
14 really addressed a lot of the things I want to talk about in
15 this overview, so I'm just going to piggyback on some of the
16 words that were mentioned just now.

17 So first of all -- let me start over here. My
18 name is Kathleen Kozawa. I am a staff in the Oil and Gas
19 Branch. And what I'd like to do in the next few minutes,
20 before we begin our sessions, is provide just a little more
21 context about the discussions and talks we're going to be
22 hearing over the next couple of days.

23 Now we've already heard a lot about Aliso Canyon.
24 It's been mentioned in all the previous speakers so far.
25 And I think it is important for us to learn from these kind

1 of events and prevent them. But absolutely, this symposium
2 is really -- the primary focus of this symposium, I should
3 say, is about the business as usual emissions that occur
4 every day, like Tim was suggesting, from customer meters or
5 from anywhere else in the natural gas system. So this is
6 where we'd like to really focus our discussions moving
7 forward.

8 So this diagram here really is a general
9 illustration of the boundaries of things that we're going to
10 be covering over the next couple of days. And this is by no
11 means and exhaustive figure, but there is one thing I want
12 to note in here and that's the -- note and recognize,
13 really, and that's the role of biomethane. Now biomethane
14 is something that's going to be important for us moving
15 forward, but we're really not going to be touching on it
16 here. And we didn't purposely mean to exclude it. But
17 really we thought and we felt that it really needed its own
18 symposium on its own, and I think many of you probably
19 appreciate that.

20 Next, in terms of the national perspective, and
21 Tim already kind of touched on some of these numbers, but as
22 a whole in the United States we use about 30 trillion cubic
23 feet of natural gas, this was in 2014. California, as Tim
24 mentioned, is the number two consumer of natural gas. And
25 the top end uses on a national level are electric power,

1 industrial and residential uses. And California pretty much
2 looks very similar to this.

3 Now while California is the number two consumer of
4 natural gas, we only make about ten percent of it. As was
5 alluded to in earlier speakers' comments, we import about 90
6 percent of our gas into the state for use. Some of that
7 comes from the southwest. Some of it comes from the Rocky
8 Mountains. And then a fraction also comes from our
9 neighbors up north in Canada. So this is why we're not only
10 interested in the emissions that are occurring inside the
11 state, but those emissions that are associated with the gas
12 that we import, as well. And this is going to be important
13 to keep in mind as we move through the rest of the
14 presentations today and tomorrow and as we frame our
15 discussions in the future for reducing methane from natural
16 gas -- or methane emissions from natural gas.

17 So California has many efforts that are going on
18 right now to reduce methane emissions. They're kind of all
19 under the umbrella of California's 2030 greenhouse gas
20 targets which is, as a reminder, 40 percent reduction of
21 greenhouse gas from 1990 levels by 2030. Also mentioned in
22 our agency's priority speakers previously, the CEC and the
23 CPUC are also heading efforts to reduce methane emissions,
24 for CEC specifically the Integrated Energy Policy Report
25 Update, and for the CPUC, the proceedings on Natural Gas

1 Transmission and Distribution. Here at ARB, we also have
2 the Short-lived Climate Pollutant Strategy, and ARBs
3 proposed regulation for oil and gas facilities.

4 Taken as a whole, these strategies are to reduce
5 instate emissions of methane from oil and gas systems by 40
6 to 45 percent, and this is consistent with the federal
7 goals.

8 Another thing that we'd like to understand here in
9 California is, and things that we're working on to
10 understand, is lifecycle emissions of methane. So this
11 includes emissions from instate, and also the gas that we
12 import from out-of-state sources. The Low Carbon Fuel
13 Standard includes these lifecycle emissions. And as the
14 models that are used in Low Carbon Fuel Standard, they do
15 get updated occasionally. So as we get more information
16 those numbers will likely be updated, as well. Knowing the
17 lifecycle emissions for methane also can inform other
18 programs, such as incentives. And so what we've done here
19 at ARB is funded a contract to evaluate these emissions.

20 So with all these efforts going on in the state,
21 it kind of begs the question, well, why are we here?

22 And the reason is, I believe, we want to keep
23 moving forward, beyond what we're doing already, to address,
24 for example, additional sources, or if there are other gaps
25 that would better inform California-specific emissions and,

1 as I mentioned before, addressing the emissions related to
2 imported gas.

3 Also another reason why we're here, as
4 Commissioner Douglas had mentioned, this symposium serves as
5 a workshop for the IEPR Update. And so the 2016 Update is
6 supposed to include an assessment of the available studies
7 covering all the sectors that we'll be touching on over the
8 next couple of days.

9 Finally, another reason why we really want to keep
10 track of the methane issue and move forward with it is
11 because of federal action on methane. The recent greenhouse
12 gas inventory has natural gas and petroleum systems being
13 the number one source for methane sources -- methane
14 emissions in the United States. And this is beating out
15 enteric fermentation and landfills. And while the makeup of
16 the inventory is a little bit different here in California,
17 it's important to recall that, remember, 90 percent of our
18 gas is imported. So any action that's taken on the federal
19 level will trickle down and make an impact here in
20 California. And with the final NSPS issued last month, and
21 EPA's efforts for existing sources upcoming, and we'll see
22 where that goes, but these are all important to consider as
23 we move forward.

24 Now very quickly, I just wanted to go over some
25 additional, more specific symposium objectives. And we are

1 not all here just to share information, but it's great. But
2 really we want to discuss the current science of methane
3 emissions associated with dry gas and natural gas that's
4 used here in California, determine the research and policy
5 gaps, what do we need to move forward, and then how we use
6 this information to inform future policy discussions in this
7 arena.

8 Last slide. I just wanted to highlight a couple
9 of things in the agenda.

10 First, Carolyn mentioned this in her beginning
11 notes, but session five, which will be tomorrow afternoon,
12 will be made up of two panels, and this is in your agenda,
13 as well. One will be a regulatory panel, one will be a non-
14 governmental stakeholder panel. If you won't be able to
15 attend the panel, go ahead and please fill out some white
16 index cards. They are in the back, and there are some
17 boxes. Raquel is holding them up right there. But if you
18 want to see a topic addressed, you're not necessarily going
19 to be here, this is recorded so you can come back and watch
20 the discussion, as well. This is not to say that you can't
21 ask questions during the panel. But we just wanted to give
22 everybody this option, as well.

23 Lastly, the showcase, as you saw, vendors setting
24 up outside of Byron Sher Auditorium, they will be set up
25 today and tomorrow. Tomorrow, however, we will also have a

1 vehicle showcase with vehicles outfitted with methane
2 detection technologies in the courtyard outside where you
3 walked in to come into the building.

4 And so with that, I'm going to go ahead and move
5 us along into the first session which will be Research,
6 Initiatives and Needs.

7 Our first speaker will be Yu Hou. Yu joined the
8 Energy Commission in 2015 as an Air Resource Engineer. His
9 work focuses on energy-related environmental research. He
10 holds a Master of Science Degree in Mechanical and
11 Aeronautical Engineering from the University of California
12 Davis, and a Bachelor's Degree in Physics and Mathematics
13 from Lewis and Clark College.

14 Yu?

15 MR. HOU: Thank you. Good morning. My name is Yu
16 Hou. I am, as Kathleen already said, I'm an Air Resource
17 Engineer from the Energy Commission. So today I will take
18 this opportunity to provide you a quick overview of the
19 Energy Commission's effort on this topic and give you --
20 here's the lineup of the talk I have today, and I'll give
21 you a quick historical context on Energy Commission's
22 previous effort, and give you a highlight of the current
23 projects. And at the end I would like to mention, our
24 projects are supported through the PIER Natural Gas Resource
25 Plan, which is the Public Interest Energy Research Plan.

1 And then at the end we'll talk about some upcoming projects
2 and what we believe to be the next step.

3 So historical context, so in 2005, more than a
4 decade ago, that working with Dr. Mark Fischer from Lawrence
5 Berkeley National Lab, the Energy Commission had a series of
6 projects that we installed instruments on those
7 communication towers that you see here. And we used this
8 method to determine methane concentrations in the atmosphere
9 and estimate emissions. This turned out to be a very
10 effective way to measure methane emissions. We shared our
11 findings with the Air Resources Board, and the Air Board
12 took over and expanded the project and those measurements to
13 other parts of the state. So this effort is reported in
14 2007 in the Nature Magazine as the first in the nature to
15 getting that type of original data.

16 And you saw a similar picture of this before.
17 This is a traditional or a classic view of the natural gas
18 system. And as you can see there, we have the production,
19 processing, transmission storage, and distribution system.
20 And as you already heard in other -- before me, this seems
21 to be an incomplete picture that, what I'm showing here,
22 should be a more complete picture, you know, including those
23 consumers. We heard about, you know, emissions at the
24 meters. Now you can see that we have power plants, we have
25 homes, residential homes, and we have buildings. We have

1 industrial sectors. Also, we have abandoned wells. Those
2 are where the wells are no longer active but possibly still
3 emitting methane.

4 Therefore, with this picture in mind, I'm going to
5 give you a quick highlight of our core project.

6 So the first project you have here was Dr. Mark
7 Fischer from Lawrence Berkeley National Lab. This is a
8 quick overview of sort of the natural gas system. As you
9 can see that there are measurements on the capped wells, the
10 picture on the left. And in the middle it's the platform
11 they utilize to making those measurements. And the picture
12 on the right shows you the distribution, measurement and
13 distribution system.

14 Other sources tested in this project include
15 storage units, natural gas refilling stations, refineries.
16 And what I want to mention is there are ten homes also
17 measured in this project that indicate -- kind of brought us
18 to indicate that there are some emissions from homes.

19 Which leads to this second project, also with
20 Lawrence Berkeley National Lab. So beyond the 10 homes that
21 are measured in the last project, an additional 75 homes are
22 also measured. And the results, we're expecting to have the
23 report coming in by the end of the year.

24 And one interesting, from this project indicate,
25 is that the incomplete combustion process from the home

1 appliances also contributes to emissions which mentioned,
2 you heard before, that's the burner tip; right? At the very
3 end we also see some emission. So we have to look at homes
4 in those two projects. By no means, that's it, you know,
5 we'll be looking at more.

6 But, you know, we want to look at some other
7 sectors. So what about commercial buildings?

8 So I have two projects. One is the Gas Technology
9 Institute. We're looking at restaurant and health care
10 facilities. The reason we're taking those two, because
11 those two are the major natural gas consumers in the sector.
12 ICF International in another project will conduct some tests
13 in other types of buildings, for example, schools, office
14 buildings. And because the findings we had in the previous
15 project about the appliances, those two projects will also
16 do some testing at an appliances level to see what our
17 emissions are. And those two projects are both expected to
18 be complete in 2019.

19 So we look at another -- several after-meter type
20 of projects. And we take a look at the pipelines and
21 storage facilities. This is a problem that we have with
22 University of California Davis with Dr. Stephen Conley. In
23 this project, as you can see that, a research aircraft is
24 deployed. And the aircraft will fly around an emission
25 source to determine the emission level from the source.

1 So speaking of storage facility, I figured I have
2 to spend a little bit of time on Aliso Canyon. And as you
3 can see here, the map on the left is a map showing all the
4 natural gas storage facility in California. And so I want
5 to say that when Aliso Canyon leaks happened the Energy
6 Commission is the only agency that had the asset to deploy
7 at the time. And Dr. Conley conduct a series of flights
8 collecting data from Aliso Canyon. As you can see, the X on
9 the picture on the right, on your right, is the leaked gas
10 well. And the white line there is the flight path the
11 airplane took.

12 The result from the measurement was published in
13 Science Magazine in October 25th of this year [sic]. And
14 based on some new information that SoCal Gas has released,
15 based on their mass filings' analysis, the results are in
16 pretty good agreement, I think about five percent.

17 So those are the highlight of our current
18 projects, so let's look at some upcoming projects. And what
19 do we want to do next?

20 I show this picture again just to kind of
21 reemphasize the holistic view of the system we're looking
22 at. Here's a project we will have with -- this is a joint
23 effort between us and Air Resources Board and NASA/JPL.
24 During this project NASA will deploy its infrared cameras,
25 and also research-grade aircraft to try to identify large

1 emitters. Those large emitters, which is a repeated
2 appearance we see from our studies and literature that those
3 large emitters, sometimes they're called super emitters,
4 disproportionately representing a larger amount of emission
5 through the population. And as you can see, that this
6 picture showing, NASA had an image showing a facility
7 leaking methane.

8 The Energy Commission in this project will be
9 focused on the natural gas system. And the ARB will focus
10 on other sources, like dairies and lead fields. Of course,
11 we're closely coordinating this effort with DOGGR. And this
12 project should start sometime in the fall, I believe.

13 So while our Natural Gas Resource Plan also
14 identified two other areas that are of interest. If you
15 remember that picture I had, it shows the parts we are
16 interested in, the industrial sector and power sector, but
17 also -- oops, all right -- so also we are interested in the
18 groundwater-related subsidence impacts on the natural gas
19 system. The map I'm showing you on the slides, showing you
20 an overlap, overlay of area impacted by substances and more
21 than 100,000 abandoned cap wells in California. And the
22 picture in the middle, it's a gas well that has protruded
23 from ground because the ground has subsided.

24 So in summary, the Energy Commission has been
25 working on this topic for a long time. We have made

1 significant process in identification and correct reason of
2 the emissions' sources. We have made progress in
3 measurement techniques, but more work is still needed. So
4 in the future we'll work closely with the Air Resources
5 Board, DOGGR and other entities. We'll continue to support
6 research on this topic through the Pure Natural Gas Program.
7 So thank you.

8 (Applause.)

9 MS. KOZAWA: Thank you, Yu.

10 We actually are running just a little bit ahead of
11 schedule. So if anybody has some questions, we have
12 standing mikes. I see nobody getting up.

13 I guess we'll go ahead and move on to our next
14 speaker. The speaker is Dr. Jorn Herner. Jorn has worked
15 for more than a decade in the Research Division of the
16 California Air Resources Board. In his current position as
17 the Chief of Research Planning Administration and Emission
18 Mitigation Branch, he oversees the agency's annual research
19 planning effort, the division's vehicle emissions research,
20 and the greenhouse gas ambient measurements and analysis.

21 Jorn?

22 MR. HERNER: Thank you, Kathleen. And sorry for
23 hiding in the back during the beginning. I was here, but
24 just hiding out in the back.

25 So good morning, everyone, and thank you for

1 coming today. I'm going to get a little bit more specific
2 than we have been so far about what we're doing on research
3 initiatives and needs in the state of California to move
4 this ball forward that we're all here to discuss today. So
5 I'm going to start pretty broadly, though.

6 Why are we concerned with methane?

7 Really, there are two reasons. It's often co-
8 emitted with pollutants that are of direct health concern or
9 that participate in ozone formation. And most of us today
10 are probably here because it's a very potent greenhouse gas.
11 And we all hear from the IPCC that the GWP or global warming
12 potential of methane over 100 years is 28, but over 20 years
13 it's 84. I wanted to, I don't know, create some kind of
14 picture that kind of puts that into context.

15 So what I've done here is grab the amount of
16 energy added to the atmosphere from releasing one kilogram
17 of methane and one kilogram of Co2 over 100 years. And you
18 can see that methane in that first year that it's released
19 adds 133 times more energy to the atmosphere than Co2. It
20 adds 133 watts. I use 13 watt CFLs in my house, so I could
21 have ten light bulbs burning 24/7 for a whole year just in
22 that first year that the methane is in there, so it's a lot
23 of energy added to the atmosphere, whereas, you know, a
24 kilogram of Co2 just adds one watt in that first year. It
25 takes about 70 years before methane has been reduced enough

1 to where the overall energy burden to the atmosphere is
2 equal between the two. So it's a very potent greenhouse
3 gas. And that creates this opportunity of if we do
4 something to reduce methane we will get climate benefits
5 very quickly.

6 A broad overview. This has been kind of touched
7 upon before of the state's climate and methane reduction
8 plans. Most of you are probably familiar with AB 32 which
9 requires the state to reduce overall greenhouse gas
10 emissions to 1990 levels by 2020. We have additional goals
11 in the form of executive orders to reduce another 40 percent
12 from that level by 2030, and another -- and a complete 80
13 percent by 2050.

14 Specific to methane, SB 605 required the state to
15 write a plan on short-lived climate pollutants. Methane, of
16 course, is a short-lived climate pollutant, as we just
17 discussed. And this plan was released in April of this year
18 and calls for a goal of reducing methane emissions by 40
19 percent by 2030.

20 So how important is methane in our current
21 inventory?

22 For 2010, using a 100-year global warming
23 potential, methane constituted just less than ten percent of
24 our overall greenhouse gas emissions. But if you use the
25 20-year global warming potential, it's almost 20 percent.

1 So certainly you can't reduce the overall emissions by 80
2 percent without getting significant reductions in methane,
3 as well. And if rather than using a global warming
4 potential you calculated the instantaneous relative forcing,
5 methane would be an even more important part of this pie.

6 What are the main sources of methane in
7 California?

8 Ag and waste sector are responsible for a very
9 significant fraction, three-quarters of the overall
10 emissions in the state. Oil and gas is about 13 percent in
11 the current inventory, so less than the U.S. as a whole.
12 But as discussed, we get -- a lot of our methane is
13 imported. So those additional fugitive methane emissions
14 that occur outside the state are important, as well, and are
15 not accounted for.

16 And as I will mention later, there is also a
17 question about whether or not the inventory is
18 underestimated. And as we go through finding out why that
19 is, the various size of these pie pieces may change.

20 So on a very broad level, one of our goals with
21 research in terms of methane is really to understand our
22 improvement of emissions and use that information to find
23 opportunity to get reductions. The end goal has to be the
24 40 percent reduction by 2030, and then we'll get another
25 goal after that.

1 We want to inform our inventories with the work
2 that we do so we have better knowledge of what's going on.
3 Many of our inventory emission rates come from the EPA, so
4 they're kind of national emission estimates. We need
5 California-specific numbers. And then as you hinted at,
6 there may be these high emitters out there. So in terms of
7 opportunities for emission reductions, if we can identify
8 various high emitters and control those first, we could get
9 a lot of reduction for a small effort. So we are looking at
10 that, as well.

11 So now I'll go into a series of slides on our
12 research efforts. The first was touched on by Yu, as well
13 as CEC. They started this methane monitoring network that
14 in 2010 the California Air Resources Board collaborated with
15 them and have since expanded significantly. As this map
16 shows, we have a number of stations throughout the state.
17 And you take these very highly accurate methane measurements
18 and you couple them with inverse modeling, and you're able
19 to create kind of a top-down inventory. And Mark Fischer at
20 Lawrence Berkeley National Lab has been doing that modeling
21 for us. And it is this effort, along with many other
22 studies, more regional studies in specific air basins of
23 California, that suggested our inventory may be
24 underestimated by 50 percent. I believe that it's not that
25 this effort is completely right and the inventory is totally

1 wrong. The two will converge as they inform each other over
2 time.

3 But we are continuing this effort. We are going
4 to expand and improve upon our network. And we're hoping
5 that in addition to just having a single top-down number for
6 comparison, that the effort will start to be able to say
7 something about which sources should we be looking at more
8 closely to improve our inventory and anchoring policy.

9 Next is AB 1496. This has been referred to, as
10 well, by CEC, Yu. This is a bill that as passed in 2015
11 that requires the state to undertake monitoring and
12 measurements of high emission methane hotspots. On your
13 right you see a map that was generated using satellite
14 data, and it shows a couple of different hotspots in the
15 Western United States. One of them is in the Southern San
16 Joaquin Valley, so we're required by this piece of
17 legislation to take a closer look and monitor that hotspot.
18 And then, importantly, using that we're required to update
19 relevant policies and programs to incorporate what we
20 learned from the effort. And the lifecycle analysis from
21 imported gas has been referred to, as well.

22 To do that we have this collaboration with the CEC
23 and NASA, with JPL, to have research-grade imaging
24 technology put on planes and fly over various sectors of
25 California where the main emission methane sources are

1 currently -- where we believe they are currently located,
2 and identify these high-emitting sources, as Yu showed on
3 his slides.

4 The pilot studies already done suggest that we may
5 have a list of as many as 5,000 high-emitting sources in
6 California. So this project will create a long list of
7 leads, if you will, that we can look at further. It is the
8 hope that this list will help operators find leaks and seal
9 them.

10 We are hoping that the flights will happen this
11 fall. And I believe there is a presentation later today
12 that will discuss this project in more detail.

13 So this is our cartoon -- thank you to Staff for
14 drawing this up -- on the many different resources we bring
15 to bear on trying to understand methane emissions from
16 specific sources, the so-called tiered observation system,
17 starting with satellites, overhead aircraft, aircraft to
18 conduct flux estimates, specifically scientific aviation.
19 We'll hear a presentation from them, as well. Ground-based
20 mobile monitoring, infrared cameras, flux chambers, towers,
21 et cetera. So we have a number of different resources that
22 we're starting to deploy to really get our arms around
23 methane emissions in the state.

24 We have a long list of external research, as well,
25 that I'll just mention quickly. Many of these programs, PI

1 is probably in the room, so I'll let you ask specific
2 questions to them. I think some of them have presentations,
3 as well. The first two are in regard to the dairies,
4 understanding better how to manage manure from dairies to
5 get reductions there, and also just get California-specific
6 emission rates for dairies.

7 You mentioned the work to measure emission rates
8 from the other natural gas storage facilities in California.
9 More specific to oil and gas, there's work underway to
10 characterize emissions during well simulation than from
11 percolation ponds, measurements of emission rates from
12 pipelines in California. The testing of natural gas meters
13 in residential homes is undergoing and we need to do more
14 work in that area, and I believe that is underway.

15 And then, also, an investigation of the different
16 technologies that are available out there now. The
17 technology to measure methane is developing very quickly.
18 We have a wonderful showcase of a number of them out in the
19 hallway today. So how do you create policy that takes
20 advantage of the newest and latest measurement technologies
21 is going to be an important one, as well. And then, of
22 course, lifecycle for the imported natural gas.

23 So moving forward, we currently have a website on
24 our greenhouse gas monitoring network. We're going to
25 expand that website significantly and present what we're

1 doing broadly on methane. So just the greenhouse gas
2 network will just be one aspect of that. We plan to post
3 data and information and results from all our various
4 efforts there as quickly as we can so that you can have the
5 information that you need.

6 And then in closing, I want to say it's incredible
7 that can have this many people of your caliber at eight
8 o'clock on a Monday morning in this room because of your
9 interest in something as esoteric as methane. There's a lot
10 of interest in methane in many different corners of the
11 world. If you Google methane today, you get a long list of
12 articles and description of efforts. So there's a lot of
13 new research that really, I think, in a step-wise fashion is
14 giving us better information to get control of this, but
15 we're obviously not done yet. But I'm certainly very
16 optimistic with everything that's going on that we will meet
17 our goal in 2030 and possible even do better, so thank you.

18 (Applause.)

19 MS. KOZAWA: Thank you, Jorn.

20 Are there any questions from the audience for Jorn
21 today?

22 I have one question, Jorn. I was just curious,
23 because you had mentioned 5,000 super emitters in some of
24 the more recent flights, and have all those been quantified?

25 MR. HERNER: No, not yet. That's -- JPL has done

1 a few flights. I believe Chip Miller is in the audience and
2 will be giving a talk later. But just from the limited
3 number of flights and how many super emitters that they
4 found, they think that once they cover the areas that's been
5 laid out, that we will -- we could get as many as 5,000. So
6 once you have those identified there would be a lot of work.
7 And we're working with the district and DOGGRs and other to
8 really understand what those sources are and whether or not
9 they're normal emissions or whether it's something that can
10 be stopped right off the bat.

11 MS. KOZAWA: Thank you, Jorn.

12 Oh, one question?

13 MR. DRIVER: Perfect. There you go. Hi. Keith
14 Driver, Cap-Op Energy, based in Alberta, Canada. And one of
15 the comments made was that there's a recognition that the
16 inventory of methane from oil and gas is perhaps not as
17 accurate as we would all like to believe. From the Canadian
18 experience, we've had the same challenge in both B.C. and
19 Alberta, which are two largest gas producing regions.

20 Has there been any thought about collaborating
21 with other jurisdictions on trying to tighten up those? It
22 seems to be a common problem, and thus perhaps somewhere
23 where there's some opportunity to share.

24 MR. HERNER: Right, and I certainly agree with
25 that. There's so much going on. You know, EDF has had a

1 huge study recently. And you folks are doing things. We
2 are working with DOE and the federal government on
3 collaborating through the ITRC. So, yeah, there's a lot of
4 collaboration going on and I think that's warranted.

5 At the same time I will say that every
6 jurisdiction is different. For example, in California we've
7 been controlling emissions of VOCs from the oil and gas
8 sector on a local level for many, many years because of
9 those co-emitted pollutants that participate in ozone
10 formation. So we believe that our natural gas system is
11 much tighter than elsewhere where they don't have that
12 problem.

13 So I think it's important to collaborate, but it's
14 also important to have local information.

15 MS. KOZAWA: Thank you. Our next speaker is James
16 Bradbury. James is a Senior Policy Adviser for Climate,
17 Environment, and Efficiency in the Office of Energy Policy
18 and Systems Analysis at the U.S. Department of Energy. At
19 DOE, James contributes to several administration priorities,
20 including the Quadrant Hill Energy Review (phonetic) and the
21 Interagency Methane Strategy. James holds a PhD in
22 Goesciences from the University of Massachusetts.

23 James?

24 MR. BRADBURY: Thank you, Kathleen.

25 Good morning, everybody. Thanks a lot for the

1 invitation to participate here today. I want to say hello
2 to everyone in the audience and to those on the webcast.

3 Hi, Dad.

4 Like I think a lot of people in this country, the
5 Aliso Canyon incident got the attention of people we didn't
6 always -- wouldn't have expected to hear from, and that
7 included the phone call from dad asking, "Is this what you
8 work on?"

9 I said, "Yeah."

10 So this morning I'm going to give you an overview
11 of all the different efforts, largely from a policy
12 perspective of what we're doing at the federal level. But
13 as I go through those various initiatives I'll touch on
14 where different research needs and R&D efforts are going to
15 be highlighted in my talk, where our priorities are in
16 particular.

17 So this is another version of a slide I think you
18 saw earlier that Kathleen presented. This is the latest
19 estimate of U.S. methane emissions from anthropogenic
20 sources across the U.S. I kind of pulled out the emissions
21 from the natural gas sector in particular. It's just broken
22 out into these four different shades of gray. So the darker
23 one is the production stage emissions, ND then for
24 processing, transmission and storage, and then the narrow
25 one, the two percent is natural gas distribution. In yellow

1 to the left of the figure, that's the petroleum system. So
2 all together, this is the 33 percent, about a quarter -- I'm
3 sorry, a third of total emissions.

4 And just for context, I think you might have
5 already also mentioned this, Kathleen, but this amounts to
6 about 11 percent of total anthropogenic greenhouse gases in
7 the U.S.

8 A quick point I'll note on this, so this, of
9 course, inventory, it's important. And there are ongoing
10 research needs associated with the inventory. I think we
11 all recognize this but I wanted to point it out. And this
12 is something that the EPA is constantly working on,
13 constantly working to update it and improve on the
14 inventory. And the numbers you see here are actually
15 significantly revised from the previous inventory which was
16 released in April 2015, particularly the production stage
17 emissions, both from petroleum sector, increased
18 substantially, by about more than double.

19 With that said, there was also reduction in some
20 sectors in terms of their estimate that includes
21 transmission and storage and distribution, although they did
22 also say that in the next inventory they're going to be
23 looking to do more updates and improvements on the
24 distribution side. And these efforts, again, are ongoing.

25 So the federal government recognized, in

1 particularly through the president's Climate Action Plan in
2 2013, that we really needed an interagency strategy to
3 address the issue of methane emissions. And then in 2014,
4 just less than a year later, that came out, and that's the
5 booklet you see here on the slide. And so that's really the
6 idea. And the key objective there was to take a
7 collaborative approach across federal agencies with state
8 governments and industry and other stakeholders to carry the
9 strategy forward.

10 As an update to the strategy, in January 2015 the
11 administration announced the goal to, in particular for oil
12 and gas sector, to reduce methane emissions by 40 to 45
13 percent below 2012 levels by 2025. And then just earlier
14 this year we announced with Canada that we're going to be
15 collaborating and coordinating our domestic actions,
16 including addressing existing sources of methane from the
17 oil and gas sector, and I'll get to that a bit more.

18 But the three pillars overall of this strategy,
19 which I think is a useful way to frame them and look at
20 these issues, were we're assessing current emissions data
21 and addressing data gaps, identifying technologies,
22 practices and best practices for reducing methane emissions,
23 and then, of course, identifying existing authorities across
24 the federal government and incentive-based opportunities to
25 reduce emissions. And the first two in particular, of

1 course, are really ripe for research and development. And
2 that's where a lot of the efforts are focused.

3 I think another aspect of this, including this
4 pretty aggressive target, I would say, the 45 percent
5 reduction by 2025 recognizes that there is a lot of
6 abatement emissions reductions that can happen out there.
7 These are solvable problems. And a lot of the reductions,
8 of course, can be done relatively cost effectively or low
9 cost.

10 So I'll pause here just to make the point,
11 building on my last point, is that we have learned a lot
12 about methane emissions from the oil and gas sector in
13 recent years, partly thanks to the good work that EDF has
14 done, but other researchers and I'm sure many in the room
15 have contributed to these efforts.

16 And I'll make the point now which, of course, I'll
17 come back to, and others have mentioned as well, is I think
18 perhaps most importantly we've confirmed what I think a lot
19 of people in this space were aware of, but confirmed that
20 it's true, essentially universally across the sector, is
21 that the probability distribution of emissions has a fat
22 tail. Put another way is super emitters exist. So we do
23 have identified super emitters across the value chain. And
24 this has to be recognized as really a key piece of the
25 strategy when it comes to finding and fixing leaks.

1 Okay, so this next slide is -- sorry, it's very
2 wordy. I'm not going to read every word to you. You can
3 breathe a sigh of relief there. So this gives a little
4 orientation to I think a somewhat complicated regulatory
5 landscape when you look across the value chain from wellhead
6 to burner tip. And then within that, cutting across that,
7 all the different types of authorities that apply across the
8 federal government. And so I guess a year ago about we
9 published a paper kind of breaking this down and getting
10 into some more detail on this, because we wanted to better
11 understand where the lines of jurisdiction exist and where
12 there may be some opportunities we might be missing to do
13 more.

14 But just in a nutshell, so transportation service
15 and siting, this, of course, are state PUCs. At the federal
16 level, Federal Energy Regulatory Commission, FERC, and this
17 oversees the regulation of pipeline siting and
18 transportation service. So these regulators, it says here,
19 focus on cost. They focus on, of course, cost, reliability,
20 and safety primarily, with not a lot of consideration to
21 environmental implications. The one exception, of course,
22 being California as a result of SB 1371. And so that will
23 be, I think, the one statement exception on a regulatory --
24 from a regulatory perspective.

25 Safety, of course, pipeline safety is a huge

1 issue. PHMSA is the federal agency, and we'll be hearing, I
2 believe, later today from PHMSA about their research
3 efforts. They have ongoing R&D efforts that focus on risks
4 and pipeline safety. Most states, of course, have pipeline
5 safety rules that are actually more -- that are above the
6 federal minimum standards. But the feds -- and I'll get to
7 this, but PHMSA is updating those, as well.

8 From an air pollution perspective, of course,
9 Environmental Protection Agency is the main authority, has
10 the main authority there. They currently regulate volatile
11 organic compounds and hazardous air pollutants and, of
12 course, just finalized a rule last month for new and
13 modified sources directly regulating methane for the first
14 time.

15 There's federal permitting requirements on federal
16 and Indian lands which are regulated by the Bureau of Land
17 Management. And those rules haven't been updated for
18 decades but they're in the process with this proposed rule,
19 and they're working on a final rule now.

20 R&D, I had to throw this in because I'm from the
21 Department of Energy and we're an R&D agency. Of course,
22 this isn't a regulatory effort, but certainly the work that
23 we do, the analysis we do on emissions abatement
24 technologies advancing our understanding of where the leaks
25 are and the scale of those leaks contributes to our

1 understanding of where regulations and policies should be
2 focused.

3 Another wordy slide. Again, I won't read every
4 word, but I wanted these to be references for folks, all the
5 efforts we have going on. So a little more detail on what
6 Department of Energy is doing through our Natural Gas
7 Modernization Initiative. We launched this initiative in
8 July of 2014 after having a series of stakeholder
9 roundtables which were headed up and convened by our
10 Secretary of Energy, Secretary Moniz, in collaboration with
11 the White House. The first two items on here really are big
12 research and development areas.

13 ARPA-E, the monitor program, you'll hear from Nate
14 later today. He'll talk about that initiative which is
15 funding 11 new projects developing low-cost methane sensing
16 technologies for oil and natural gas sector. And then
17 working on setting up an independent field test site to
18 support that program.

19 The Office of Fossil Energy, we just got this year
20 in FY '16, two new programs, they're related programs for
21 \$12 million on methane mitigation. This is mostly in
22 midstream segment. And then also on methane emissions
23 quantification which is across the value chain. And there's
24 a funding opportunity announcement that was posted a few
25 weeks ago that closes next week to support for grants for

1 independent research on that. This is largely supported, as
2 I said, by the Office of Fossil Energy, but also the
3 National Energy Technologies Laboratory, as well. And
4 Cynthia Powell from NETL will be speaking later, I think
5 tomorrow.

6 Let's see, two more things I'll mention quickly on
7 this. I'm not going to go through all of them.

8 The Federal Energy Regulatory Commission, which,
9 of course, is an independent entity, we did work with them
10 after the methane roundtables we had to initiate a new
11 policy, and they set a new policy to enable cost recovery
12 for midstream natural gas infrastructure upgrades. It was
13 identified as a barrier, the fact that there wasn't really
14 an incentive or an ability to get cost recovery for
15 investments in safety or environmental improvements that
16 weren't otherwise required by regulation. Recognizing that
17 there are cost effective opportunities, the companies do
18 have an interest in protecting their customers and
19 protecting the environment in many cases. So we set up a
20 new cost recovery mechanism through FERC. And that went
21 into effect last October.

22 We're working with the National Utility -- NARUC,
23 the National Association of Regulatory Utility Commissioners
24 in a partnership which we just started in February. And
25 this is for DOE to provide technical assistance to state

1 regulators, the PUCs across the country who recognize that
2 there are new technologies coming online, new sensing
3 technologies, and certainly a growing concern of customers
4 and growing interest by companies to do more about reducing
5 methane emissions. And so we're providing technical
6 assistance to support their efforts in that area.

7 The last thing, building on that, is really we're
8 trying to work with stakeholders and with state and industry
9 as much as we can. And we welcome a chance to talk to any
10 or all of you. I'll be here the next couple of days.
11 Again, we want to provide technical assistance to support
12 shared goals in this area.

13 So I'll briefly touch on the other agency actions.
14 So Environmental Protection Agency, as I mentioned already,
15 just recently finished a new source performance standard.
16 They've issued an information collection request -- or
17 they've issued a draft information collection request. But
18 they're currently inviting input on what input or what types
19 of information should be in the information collection
20 request when that's officially issued. And so they're
21 soliciting input on that now so they can support effective
22 regulation from existing sources of methane with the oil and
23 gas sector.

24 They also have a voluntary program, the Methane
25 Challenge Program, which most of the participants are

1 downstream distribution companies and a couple pipeline
2 companies. And they're issuing control technique guidelines
3 for cost effective reductions of VOCs in areas where
4 existing sources are in nonattainment areas NOx, for ozone,
5 and that's for covered oil and gas sources.

6 I already mentioned BLM's rule which they're
7 updating. I mentioned that PHMSA is updating a
8 transportation rule, of course, their pipeline natural gas
9 transmission rule. And, of course, as many of you know,
10 they released an advisory bulletin earlier this year in
11 response to the Aliso Canyon incident. And they've also
12 initiated regulatory actions on safety of natural gas
13 storage facilities.

14 The final point here on all the different agency
15 actions, there is an effort convened by the Office of
16 Science Technology Policy, the Interagency Methane
17 Measurement Working Group. And we meet periodically to
18 coordinate and collaborate on different initiatives and
19 effort in the R&D space, particularly on methane
20 measurement, not just for oil and gas but across all
21 sectors. And that's an ongoing effort that has been leading
22 to some great new insights and opportunities to work
23 together going forward.

24 Wait, where am I? Okay, here we go.

25 So I wanted to make sure to flag the Interagency

1 Task Force on Natural Gas Storage Safety. This was
2 established in response to the Aliso Canyon incident. On
3 April 1st the DOE co-chairs this task force with PHMSA,
4 Department of Transportation, and including technical
5 support from a variety of agencies. And we're also, of
6 course, working closely with the state of California and
7 obviously doing a lot on this issue, and in L.A. County and
8 City of L.A., as well.

9 So the task force is focused on a couple of
10 things. And we're really doing workshops and doing some
11 research and analysis to look at the implications of the
12 Aliso Canyon incident beyond California, recognizing that
13 California, the state agencies are focusing in their state.
14 We want to look at the broader implications in terms of
15 identifying what best practices might be to ensure well
16 integrity, proper response plans, health and safe operations
17 of natural gas storage facilities, and also to assess
18 potentially vulnerabilities to the energy reliability posed
19 by the loss of natural gas facilities. Obviously, this is
20 an acute situation because of the importance of the Aliso
21 Canyon facility here in California, but we want to look at
22 where there might be similar issues in other parts of the
23 country. And the results from this work should be published
24 in about four months. I think I said six months from the
25 start of this task force and that was just a couple months

1 ago.

2 Okay, so my last slide, I'm just going to finish
3 with some of my thought on what are really our policy
4 objectives when it comes to methane sensing research in
5 particular, not necessarily on the abatement side but on the
6 methane sensing, and kind of, I guess, the three policy
7 goals that are helping to steer our R&D strategies.

8 The first one is improving the GHG inventory. I
9 already mentioned this. This is really foundational, of
10 course, for policy. And any improvements in the inventory
11 help us set priorities and identify where we should and
12 could be making more progress.

13 Also, of course, methane sensing technologies are
14 critical for the abatement that we need to do. So methane
15 measurement and leak detection is where we're making a lot
16 of progress in that space. But getting new technologies
17 commercialized and recognized through regulatory processes
18 is a really important objective and, obviously, core to what
19 we're trying to achieve here.

20 And the last one is establishing emissions
21 monitoring networks. And it's exciting and interesting and
22 I look forward to learning more about what California is
23 doing in this space. It's not something that has happened,
24 I think, in other parts of the country so much. But it's
25 certainly important, number two. And number three, for

1 identifying super emitters and fixing the leaks sooner
2 rather than later, but also just generally having that
3 independent check on our inventory through these top-down
4 methods. They're useful for our understanding of the level
5 of emissions, but also for enforcement and accountability
6 across the board as we move forward on these issues.

7 So thanks very much. I'm happy to take questions.

8 MR. NEWTON: I have a question.

9 MR. BRADBURY: Thank you.

10 MR. NEWTON: Ed Newton with the Southern
11 California Gas Company.

12 You made a number of comments about cost
13 effectiveness. In referencing the cost effectiveness, I was
14 wondering, at the DOE do you have any methodology for
15 assessing cost effectiveness, or how do you approach doing
16 that?

17 MR. BRADBURY: We try to avoid being loosey-goosey
18 when I used the term "cost effectiveness". Apologies if it
19 came across that way. There are certainly -- yeah, we don't
20 have any, I would say, specific methodologies on that point.
21 We did publish a study a year ago looking at the abatement
22 cost curves that have been published earlier by ICF and
23 breaking them down by segment, helping to identify where
24 within the supply chain the abatement opportunities might be
25 in terms of their cost effectiveness. That research,

1 actually, has been recently updated, as you may know. ICF
2 was working with one future initiative to update their cost
3 curves coming to slightly different results as us. And
4 there aren't as many low-cost or negative-cost opportunities
5 out there.

6 I think the point is since the methane, of course,
7 is natural gas, which is a product that we can sell to
8 customers, there can be cost recovery for captured gas. And
9 so particularly to the extent that you're avoiding really
10 large emissions, emissions from very large sources, a lot of
11 those fixes can be very cost effective in terms of avoided
12 lost product. But we don't have any particularly methods, I
13 think, if that's what you're getting at for that specific
14 question.

15 MR. NEWTON: And then just a point of
16 clarification. You made reference to SB 1371 on the one
17 slide in the context, I think, of abatement cost.

18 MR. BRADBURY: Oh, I mentioned in the context of
19 the, I guess, pipeline transportation service and regulation
20 by state PUCs and at the federal level. And so, yeah,
21 California being, I think, the only state that has, at least
22 now legislation and soon to be, I believe, regulation
23 requiring not just reducing leaks for the purpose of not
24 just improving safety, but also abating methane and GHG
25 emissions.

1 MR. NEWTON: Okay. Yeah. Thanks for that
2 clarification.

3 MR. BRADBURY: Sure.

4 MR. WESTERFIELD: Good morning. Bill Westerfield
5 with the Sacramento Municipal Utility District here in
6 Sacramento.

7 I noticed on one of your slides a reference to the
8 midstream activities. Yeah. There may have been some extra
9 funding from midstream activities at the federal level. I
10 characterize midstream as that area of field after
11 production and before the gas is put into the interstate
12 system.

13 If that is your understanding, I guess my question
14 is: Where is the jurisdictional reach of various federal
15 agencies for that, I guess, upstream part of the production
16 process? It's not part of the interstate transportation
17 system at that point. So I wonder which agencies really
18 have jurisdiction? I assume EPA does, but I'm wondering
19 what the nature of that is and whether there are any other
20 federal agencies that can reach into that process to monitor
21 the activities and the leaks that may be happening in those
22 pipelines?

23 MR. BRADBURY: I don't want to speak out of turn
24 in terms of where the exact lines are of jurisdiction.
25 Certainly, you know, I guess just to clarify, I think you

1 had a question, when I said midstream I definitely should
2 have clarified that. I think depending on where you sit in
3 the value stream a lot of people of midstream as different
4 things.

5 So really we're talking about the transportation
6 of natural gas, including through gathering and boosting
7 interstate transmission pipeline systems, and even within
8 the distribution segment, as well, is basically the -- so
9 that's using midstream pretty loosely, I suppose, in that
10 sense.

11 But with that said, in terms of -- I think you're
12 talking about gathering and boosting in between the wellhead
13 and the processing plants. Certainly EPA, you know, from an
14 air emissions standpoint has jurisdiction there. And the
15 most recently finalized rules touch on that, facilities in
16 that segment. I believe there are some reporting
17 requirements to PHMSA and DOT associated with those
18 pipelines for incidents. But only I think ten percent of
19 those facilities actually do fall into the category where
20 they actually have reporting requirements.

21 So there's a lot that we don't have a good handle
22 on, I would say, in terms of the school of what
23 infrastructure is even there and where it is. And so I
24 think that's maybe a good starting point, is getting a
25 better handle on where these facilities are and better

1 characterizing them as emission sources. We've made
2 progress but there's more to be done.

3 Any other questions? Thanks.

4 MS. KOZAWA: Thanks, James.

5 Before I introduce the next speaker I just -- not
6 that you guys are going anywhere, but if the speakers for
7 the first session could just stick around, we are getting
8 some webcast questions, so we'll go ahead and do those at
9 the end.

10 Our next speaker is Adam Brandt. Adam is an
11 Assistant Professor of Energy Resources and Engineering and
12 Center Fellow by courtesy at the Precourt Institute for
13 Energy. He received his Masters of Science and PhD from the
14 University of California Berkeley in Energy and Resources.

15 Adam?

16 MR. BRANDT: Great. Thanks, Kathleen.

17 Good to be here. Very excited to talk about
18 what's been going on. This is a bit of a mixed
19 presentation, a brief overview of many things we've got
20 going on at Stanford. So happy to take questions via email.
21 I'm easy to find if you want additional details on anything
22 I'll talk about here.

23 I'll start out talking a little bit about a pretty
24 unique and neat thing we've got going on at Stanford. So we
25 have something going on for the last two years or so called

1 the Natural Gas Initiative. It was started by Mark Zoback,
2 who's down here in the picture, who is a geophysicist at
3 Stanford. And he's interested in the use of gas,
4 sustainable use of gas, use of gas to reduce environmental
5 impacts from energy, and coal use, all sorts of issues.

6 So he said, okay, let's start this institute that
7 brings together all the schools at Stanford, everyone at
8 Stanford who's working on gas, so that we have sort of a
9 unifying clearinghouse and sort of unifying initiative that
10 can help, for example, people in law talk to people in
11 economics, people in economics talk to people in the
12 engineering. So in that way it's a pretty neat thing.

13 NGI looks at a whole bunch of things. In the
14 background here there's a bunch of small text you can't read
15 around six key areas. But there's three near-term focus
16 points of the Natural Gas Initiative. And this may be of
17 interest to the people in the room.

18 One focus area is methane leakage around
19 technologies for detection and policies to spur improved use
20 and utilization of detection technologies.

21 Two is really a more fundamental science
22 initiative around GTL technologies, so developing better
23 technologies to monetize stranded gas or associated gas
24 that's not economic right now and is often flared.

25 And then the third is an interesting effort

1 between, you know, basically the law business and economics
2 around gas and energy poverty. So can gas be a solution to
3 current energy development efforts, largely in Asia that
4 mostly focused around using coal now, can gas play more of a
5 role there? And that should be an interesting focus area.

6 Obviously we're, at this talk or at this
7 symposium, focused on the first effort, so I'll talk more
8 there. And Rob Jackson, who's also at Stanford and working
9 with NGI, will also talk a little bit later.

10 Oh, we're cut off. Oh, okay, I have a different
11 view here.

12 I sometimes like to start these talks with my
13 summary of sort of the state of the science. And these are
14 things that I think are pretty well established at this
15 point.

16 One is that U.S. methane emissions have increased
17 over the last ten years and are likely higher than suggested
18 by EPA inventories. These are justified by various top-down
19 studies that have been performed in the last five years or
20 so. It's likely that some but not all of this excess
21 methane is from natural gas and petroleum sources. A bunch
22 of new studies, largely funded by EDF but others, as well,
23 give some insights into sources. So it looks like well
24 pads, gathering and processing, and distribution emissions
25 may be smaller than we expected, but things like pneumatic

1 devices, compressors, and super emitters may be higher
2 contributors.

3 Fourth, it's pretty challenging to align top-down
4 results with bottom-up inventories. So this has recently
5 been illustrated by a paper in PNAS by the folks at EDF and
6 others, trying to look at reconciling top-down and bottom-up
7 measurements in the Barnett Shale. And they found that they
8 needed to include large emitters in order to have those
9 align.

10 Lastly, I think this has recently become more
11 important, I think there's attention needed on liquids-rich
12 places. So we've done recent work in the Bakken, and
13 there's also been some work done by David Lyon at EDF,
14 surveying via helicopter over many basins, seemed to suggest
15 that leakage rates are high in places like Bakken and
16 Eagleford where they're not necessarily primarily a natural
17 gas place, but the gas is essentially a byproduct of liquids
18 production, and these have shown pretty high leakage rates.
19 So I think that's an area that needs increasing focus going
20 on.

21 So that's sort of where we stand and my sort of
22 best current summary.

23 So what questions remain then? If we, and I think
24 we have, if we have increased or improved understanding of
25 where the emissions are coming from, what do we need to do

1 then? I'll talk about two sort of questions remaining today
2 that are germane to the audience here.

3 One is a way to rigorously assess which
4 technologies are going to be most effective at detecting
5 emissions in terms of volumes detected and cost
6 effectiveness of detection. And we've developed a
7 simulation tool to do that.

8 Two is how do we include super emitters and the
9 various new data streams that we've got in existing
10 lifecycle estimates? You know, how do we basically -- how
11 do we bring the knowledge that's been developed over the
12 last couple of years into these tools that are often used in
13 the regulatory realm.

14 First, how do we compare different detection
15 technologies? This is a question that came to me about two
16 years ago while working on a pre-proposal for RPE.

17 Everyone and their cousin has a detector
18 technology idea. Why do I know that? Because I have a
19 detector technology idea. When I have an idea it's a pretty
20 bad situation. We've really reached the bottom of the
21 barrel when Adam comes up with an idea. So I thought, oh my
22 god, everyone has an idea. Many are proposed. How in the
23 heck do we assess whether or not an idea is a good idea?
24 How do we rigorously, fairly and cheaply compare different
25 ideas? Should our detectors be higher sensitivity? Should

1 they be more durable? Should they be cheaper? Should they
2 be fast? Should they be labor free; right? What really
3 matters in terms of making an effective detection
4 technology? That's actually a really complicated question.

5 As I got to writing this proposal I realized I
6 have no rigorous way to argue why my idea is better. Of
7 course, I think my idea is better, but everyone thinks their
8 idea is better. So we developed what we call a virtual
9 training ground for technologies. Every virtual training
10 ground or every model needs a good acronym, so ours is
11 FEAST, the Fugitive Emissions Abatement Simulation Tool Kit.
12 This is an open-source tool. We've actually posted the
13 source code. Anyone can model it or update or use this
14 tool.

15 So what does FEAST do?

16 First, you initialize an artificial gas field.
17 Here on the left is a map of a test region we did in the
18 Barnett play. You use things like well counts, distances,
19 equipment counts and component counts. So you initialize
20 this sort of artificial toy gas field. You then initialize
21 a set of leaks. I've actually got a video here. I'm not
22 sure if it can be clicked. It actually works. It's always
23 risky to put a video in. This is a video, in the upper
24 right, of a tank leak in the Bakken Formation taken from
25 about 60 to 70 meters away with our Fligger camera

1 (phonetic), so that's a leak there. And we initialize these
2 links and we begin to simulate them. So down below in the
3 lower right is just a simple gaussian plume model of what
4 this kind of leak might look like to a simulator.

5 We then include, using best information from the
6 literature, probabilities of leak generation to add and
7 subtract leaks over time. So we have a daily model that
8 updates with a two-state Markov model. Basically, there are
9 probabilities of leaks being generated or leaks being fixed
10 on any given day. And this includes a background repair
11 rate.

12 So basically, on a daily basis this model iterates
13 through all the components, creates leaks, fixes leaks. We
14 then simulate, as stated intervals, various detection
15 technologies and estimate given wind speeds that are drawn
16 from realistic wind distributions, given distances, given
17 other parameters of a detection technology, which of these
18 plumes that we simulate when we simulate a gaussian plume
19 for every leak, which of them would actually be found?

20 We can do things like test frequency of surveys,
21 test the sensitivity of detectors, test leak size
22 distribution. So what if you have super emitters, how
23 effective is the technology? What if you don't have super
24 emitters, how effective is it? So we simulate on a daily
25 basis if any detector technology is applied and if any leaks

1 are found.

2 We can then compare technologies and basically
3 create a time series of what might happen. So on the left
4 we have a time series plot of ten years, 3,600 days of
5 operation. The top line is a no repair case, no natural
6 repairs, so leaks are only created. There's no natural
7 process by which operators find and repair leaks.

8 The next line down is a purple one. That's what
9 we call our Nowell (phonetic) case in which the rate of leak
10 generation and the rates of leaks being fixed in the absence
11 of an ODAR (phonetic) program are approximately equal, so
12 you get this sort of stochastic kind of random walk around a
13 steady state in purple.

14 The four lines below are the lines realized when
15 you apply four different candidate technologies that we've
16 really just sort of sketched up, including AIR which is an
17 automated airborne infrared system, distributed detectors,
18 so these are sniffers that you place around, a manual IR,
19 and flame ionization detector. Once we get these ten-year
20 simulation trace for our artificial yet statistically
21 representative gas field, we can estimate over this ten-year
22 period, what's the MPV associated with each of these
23 detector programs.

24 An interesting result from this was that our most
25 expensive technology, the automated airborne infrared

1 sensor, was actually the most cost effective because it was
2 very fast. If you use reasonable flight times, it's very
3 fast and very labor efficient. And so what's pretty
4 interesting is that there's a sharp distinction between
5 cheap detectors and cheap detection, okay? Cheap detectors
6 and cheap detection are not the same thing. And, in fact,
7 the cheapest detection may come from, if there's some sort
8 of satellite of high altitude observation, it could be an
9 extremely sophisticated sensor, extremely expensive, but the
10 thing could serve a huge number of wells per day; right?
11 And so that's the in-member of cheap detectors don't equal
12 cheap detection, okay, especially when labor costs are
13 involved.

14 Next we're working with my post doc, Arvind
15 Ravikumar, who's in the audience here and is doing a lot of
16 the hard work here. We're trying to use this model and
17 extend it to say, how can we study the effectiveness of
18 proposed regulations? So now that we have this simulator,
19 can we say what's a good detection strategy?

20 The EPA's proposed methane rules in August of last
21 year requires optical gas imaging on a semiannual basis to
22 start with a fix of found leaks within 15 days, and a
23 frequency change; surveys become more frequent if problems
24 arise, if problems arise or problems are found.

25 We can ask how well, again, as an artificial but

1 statistically representative gas field, how well does this
2 regulatory format or regulatory structure perform against
3 some other structure, let's say monthly surveys, yearly
4 surveys? Let's say don't use optical gas imaging, use a
5 sensor, cheap sensors mounted on the fence line; right? So
6 how do we actually think about whether or not this
7 regulation is effective or not?

8 On the right here, these are some initial results
9 not peer reviewed yet. Everything before that was peer
10 reviewed. We were just showing some initial results and we
11 show here the average total leakage rate over a ten-year
12 period associated with different LDAR designs using optical
13 gas imaging. And you can see each stacked bar chart shows
14 the variation with survey frequency, quarterly, half yearly
15 and yearly. And across the X axis you can see how that
16 changes with distance. An interesting thing here is that
17 distance, the distance from which you survey leaks is
18 actually more important than the survey frequency, giving
19 the stochastic process that we modeled that's being
20 generated. So this would suggest that it's quite important
21 that you get up close and see things.

22 That plume I showed you, my student is doing
23 repeated surveys of 150 wells in the Bakken. You can see
24 plumes in the Bakken from up to 150 meters away. That
25 doesn't mean that that's a good idea for a survey design;

1 right? It doesn't mean that you should necessarily, for
2 example, drive by on the road and just sort of hold the
3 camera out the window. And, in fact, you'll be more
4 effective if you get up close.

5 So those are the types of questions. Again,
6 that's just an illustrative tentative result, but these are
7 the types of questions we can ask with this tool. We can
8 say, hey, how do we actually think about, in a statistically
9 representative way, designing a good LDAR program.

10 We've got a paper that we're submitting this week,
11 Arvind, we're submitting it this week. I've now said it in
12 front of 200 people, so it's going to happen, of course.
13 We've done some experimental verification of our IR camera
14 simulator. So Arvind is a physicist by training and rebuilt
15 our camera simulator from the ground up.

16 We've collaborated with a wonderful group of folks
17 at Kairos Aerospace, a startup in the Bay Area. They got
18 permitted and paid for some extremely vigorous controlled
19 releases that you can see here on the right. We took our
20 camera out, we flew in airplanes, they flew in airplanes.
21 We imaged from the ground 10 different leak grades, 10
22 different distances up to 100 meters away. You can see on
23 the left, that's the image from our camera. You can see in
24 the middle, that's actually an image processing methodology
25 called optical flow analysis which basically tracks pixel

1 velocities. And then from that, on the right, we can create
2 a binary representation of the plume.

3 We're actually -- through this controlled release
4 we basically have verified the simulation tool that Arvind
5 has built, and we verified that this, Arvind's camera
6 simulator, basically simulates what an IR image will look
7 like within a range of error of 10 to 20 percent, okay? So
8 we're actually doing, you know, experimental verification of
9 this simulation tool.

10 So, okay, so this is the sort of endpoint of this
11 simulation tool is we're publishing soon on this model
12 verification and controlled release study. We're going to
13 be moving into studying regulatory design and thinking about
14 how do we think rigorously about good policy design and good
15 technology implementation.

16 Moving forward, we've got a project that we're
17 excited about that's just now starting, so happy to announce
18 this. We're just getting approval to work with the Air
19 Resources Board. And we're going to build super emitters
20 and build this new data available on leak size distributions
21 and leak frequencies and component failure rates into
22 lifecycle analysis tools. And so we're going to use --
23 basically, we're going to adopt or adapt our, what's called
24 OPGEE model that we've developed over the past three of four
25 years with ARB support which right now focuses on oil

1 production emissions. And we're going to basically extend
2 that to include gas sector or dry gas production emissions.
3 We're going to include a much better dataset on fugitive
4 emissions and super emitters. And we're going to be able to
5 look at how these super emitters effect lifecycle choices
6 such as electric vehicles, CNG vehicles, all these sorts of
7 choices. That's a fun project that we're just getting
8 started on. So this will be very helpful for California's
9 efforts in trying to assess natural gas spaced pathways
10 rigorously, compared to things like biofuels or electric
11 vehicles.

12 That's a just quick overview of everything we've
13 got at Stanford. As I said, feel free to get in touch. I'm
14 easy to find if you want to talk about any of these ideas.

15 (Applause.)

16 MS. KOZAWA: Any questions for Adam?

17 MR. BRANDT: I'm a professor. I'm used to waiting
18 you guys out. I'll just stand here and stare at you until
19 somebody comes up with a question.

20 MR. MARSALEK: Lucas Marsalek, SCS Engineers.

21 Have you run that model on the final NSPS rule?

22 MR. BRANDT: Arvind is working on that as we
23 speak.

24 MR. MARSALEK: Okay.

25 MR. BRANDT: Yeah.

1 MR. MARSALEK: That will be interesting.

2 MR. BRANDT: So that EPA project is really, I mean
3 literally, starting as we speak. We need to get the
4 simulation verification and controlled release paper out the
5 door. And then the EPA work starts in earnest.

6 MR. MARSALEK: Just curious. Thank you.

7 MR. BRANDT: That's going to be one of the goals,
8 though.

9 MR. RHODES: Yeah. I'm Wiley Rhodes with
10 Newpoint.

11 And my question concerns natural gas liquids.
12 And under pressure natural gas liquids holds a large
13 quantity of methane. And I was wondering, I noticed on the
14 images that you had, the majority of those coming out of the
15 tops of the tanks are natural gas liquids.

16 MR. BRANDT: Yeah.

17 MR. RHODES: And is there anybody that's looking
18 and tracking that specifically?

19 MR. BRANDT: Yeah. So that's a question of very
20 active interest in our group. And I know EDF is very
21 interested, as well. The new paper from David Lyon, EDF
22 spent a great sum of money flying helicopters over, I think
23 8,000 well pads, was that right, across the country, ten
24 different plays or something like this. Eagleford and
25 Bakken came up very high on percentage of pads with a leak,

1 10 percent, 12 percent, 13 percent of pads had an observable
2 leak.

3 A couple of things going on there. These are --
4 they look like they're flashing emissions from condensate
5 tanks. Stuff is dumped in there from a medium or high
6 pressure separator, flashes, you've got these headspace
7 vapors that come off. One of the interesting things in
8 Arvind's detailed physics simulation of this -- of these IR
9 cameras using these detailed line spectral analysis of
10 basically absorption of infrared light suggests that gases
11 that are enriched in propane and other higher carbon number
12 hydrocarbons actually basically have more resident modes
13 that will absorb these photons. And so they're actually
14 more strongly absorbed.

15 So it could be -- and we show that rigorously with
16 this simulation -- it could be that part of what's going on
17 at these condensate tanks is they're showing up more because
18 of this increased mole fraction of things like propane which
19 are very actively -- very active in this portion of the
20 spectrum and very easily seen. It's likely that the minimum
21 detection limit for a rich gas stream like that is at least
22 three times lower than like a pure methane stream. And our
23 simulation results suggest that David Lyon's results from
24 the air seem to suggest that. We've done surveys of -- he
25 did surveys in the Bakken that seem to suggest that, as

1 well, so that's an issue. And actually, some good work by
2 Jeff Peischl and others who may be here has shown high
3 ethane in some of these.

4 (Off mike colloquy.)

5 MR. BRANDT: Okay. Sorry. Yeah.

6 MR. O'CONNOR: Hi, Adam, this is Tim O'Connor from
7 Environmental Defense Fund.

8 MR. BRANDT: Hi, Tim.

9 MR. O'CONNOR: You talked a little bit about the
10 super emitters issue and started to focus on that.

11 MR. BRANDT: Yeah.

12 MR. O'CONNOR: In any of your work have you
13 figured out how to predict the regulatory with which super
14 emitters might occur, where they're located? There's been a
15 lot of discussion about the only way to actually control for
16 them is just to have regularized inspections.

17 What do you think about that in terms of the
18 effectiveness of inspection regimes for taking care of the
19 super emitter issue?

20 MR. BRANDT: Yeah. So, actually, James is funding
21 some work that I'm working on with folks at National
22 Renewable Energy Lab in Colorado State on super emitters.
23 We have a new super emitters paper coming out with an
24 extreme values statistician on it, so that's coming soon.
25 Send me an email and I can get you on that as soon as

1 possible. We're in revisions right now.

2 Beyond that, our work in the Bakken with --
3 we're -- for the first time my student is visiting every 15
4 days. He flies to North Dakota and visits the same 70 wells
5 over and over and over and over again. And it is extremely
6 stochastic, very random. So these things are flipping on
7 and off and it's very -- they appear to be happening in some
8 cases repeatedly at the same piece of equipment, but it's
9 very random as to what's happening on a day-to-day basis.
10 And so Ramon, actually, could probably -- he's probably got
11 more on-the-ground experience. But, yeah, it's a very
12 challenging thing.

13 I would be skeptical if somebody said they could
14 predict when these would happen, I guess, is the short
15 version of that.

16 So that does seem to suggest, go out every three
17 months, go out every six months, because good luck if you're
18 trying to predict these things.

19 MR. ZENG: Yousheng Zeng with Providence. I have
20 a question for you.

21 During the time when EPA was working on that turn
22 to work practice they did some Monte Carlo simulation to
23 determine the equivalency of different monitoring durations
24 and all that. Does your model have any kind of relationship
25 to that type of simulation?

1 MR. BRANDT: That's a good question.

2 This is something that we should look into,
3 Arvind. I'm not sure if we've looked into modeling their
4 Monte Carlo method. In some ways it would likely be very
5 similar. I don't know exactly what they did, but we'll look
6 into that.

7 Thanks, everyone.

8 MS. KOZAWA: Thanks, Adam.

9 (Applause.)

10 MS. KOZAWA: I do have a couple of questions from
11 the web. And one is directed to Jorn, but I think if
12 anybody, any of the speakers has any thoughts about it, we
13 do have a few minutes to address those two.

14 So first, Jorn, on the JPL flyover scheduled for
15 later this year, the speaker said perhaps 5,000 high
16 emitting sources will be identified. How definitive will
17 the flyover locate a found source? In other words, if an
18 elevated methane level is detected will the flight know
19 exactly where the source is to the nearest meter?

20 MR. HERNER: Yeah. So the resolution of the
21 survey will be one meter by one meter, pretty close. In
22 certain instances and in certain type of infrastructure you
23 do need more specifics than that, and that's when we're
24 hoping to be able to go out and visit and see whether or not
25 a specific flange or piece of piping or what exactly it is.

1 But the survey is supposedly accurate down to one meter by
2 one meter.

3 MS. KOZAWA: Okay. Thank you. And the second
4 question, and you can start, Jorn, and whoever else may want
5 to chime in, what about the use of drones for methane
6 detection? And we are going to have a presentation about
7 this later today, but maybe you have something to say about
8 it. And how accurate is it and what are the cost savings?

9 MR. HERNER: Well, I can't speak to that. I can
10 only say that I hope that we get drones soon because that
11 would be a wonderful way to do a lot of inspections very
12 quickly and easily. I know ARPA-E is looking at some of
13 those. And so I think they're coming, and I'm hoping that
14 we'll be able to use them.

15 MR. BRANDT: Just some results from our
16 simulation. We found that we put in a very expensive drone.
17 I think we cost it out at \$250,000 with a ten percent yearly
18 operations and maintenance budget. And it still ended up
19 being cheaper because -- the short version is that people
20 are expensive and if a drone is fast, oil field workers are
21 expensive, that's the short version. To get out of these
22 technologies however possible, drones can be pretty
23 expensive, and they're still better than having somebody
24 drive around. Okay.

25 MS. KOZAWA: Okay. Thank you. And so I think

1 that's it for our questions from the web, for now.

2 Are there any additional questions from the
3 audience before we go on a ten minute break? Okay. See you
4 in ten minutes.

5 (Off the record at 10:03 a.m.)

6 (On the record at 10:21 a.m.)

7 MS. KOZAWA: Yes, and we are on, yes. I'll get
8 started again.

9 If the leak surveys in the Bakken that you
10 mentioned showed total random leak populations when those 70
11 wells are visited repeatedly, why does this suggest a more
12 frequent LDAR is better?

13 MR. BRANDT: Good question. So let me actually
14 clarify what we've found so far in this. We have six months
15 of surveys on one population of wells and three months of
16 surveys on another population. They were chosen slightly
17 differently, using different sampling methodologies.

18 Day-to-day variability and detection, some of this
19 is detection randomness in wind direction and temperatures
20 and things like this is like 30 percent. So you just have
21 this factor of sort of 30 percent randomness on a day-to-day
22 basis.

23 THE REPORTER: You need to speak into the
24 microphone.

25 MR. BRANDT: Yeah. Sorry.

1 There is persistence from survey to survey. So if
2 you go to a facility and you go back in 15 days, that aspect
3 is not random. You will see a selection of leaks that
4 appear to be different from randomly selected over a 15-day
5 period, over a 30-day period, over -- but there's seemingly
6 now way that we can explain why things flip on and off on a
7 day-to-day basis, but the event sort of random factor is, or
8 even ahead of time how you might predict which of these
9 might be high emitters versus low.

10 But there is persistence over time. I didn't want
11 to -- I was speaking too quickly.

12 (Colloquy)

13 MR. BRANDT: So I hope that helps. This should
14 be -- Rob is a coauthor on this paper. This should be out,
15 hopefully, reasonably soon.

16 MS. KOZAWA: Thanks, Adam.

17 Also, just an announcement. We do have -- because
18 this is a work shop for CEC, we do have a Court Reporter,
19 Peter. If you are going to be making a comment or a
20 question, it would be great if you can go ahead to see him
21 and give him your business card. This way he can make sure
22 he transcribes everything in the record correctly. So
23 there's Peter. Please give him your card if you have a
24 question or you have a comment.

25 Now I'll turn it over to Laurie ten Hope at CEC.

1 MS. TEN HOPE: Good morning. I'm Laurie ten Hope.
2 I'm the Deputy Director of Research at the Energy
3 Commission. And our next panel is going to extend before
4 and after lunch. We'll have four speakers before and four
5 speakers after. And this session is on methane emission and
6 measurement, sort of what's the state of the science and
7 what's some of the active research in this area.

8 Our first speaker to provide background on the
9 California methane inventory and needs and gaps is Anny
10 Huang. And she's the Manager of the Air Resources Board
11 Greenhouse Gas Emission Inventory and Analysis Section. She
12 oversees the development of California's greenhouse gas
13 inventory and leads a technical team that conducts routine
14 and special data analysis to support a variety of climate
15 and energy programs. She has a PhD in Environmental
16 Engineering and Public Policy from Carnegie Mellon, and has
17 industry experience prior to the Air Board. Please welcome
18 Anny.

19 MS. HUANG: Thank you for the introduction,
20 Laurie.

21 I just click the red button? Oh, okay. Great.
22 All right.

23 Good morning, everybody. Yes, that works. Okay.

24

25 So I will start out with a brief introduction of

1 greenhouse gas inventory before I go into specifically
2 methane part of it.

3 So in 2006 AB 1803 gave ARB the responsibility to
4 develop and maintain greenhouse gas inventories for the
5 state of California. We built on the good work from our
6 sister agency, the Energy Commission. We expanded the
7 inventory category since 2006.

8 So the inventory followed the IPCC guidelines for
9 national inventory development. And the reason why it's
10 very important for California to follow the IPCC guidelines
11 is because having consistencies and comparability with the
12 other national inventory is important for us in terms of
13 having this international dialogue with other jurisdictions.

14 So the inventory quantify emissions from
15 insubordinate sources. Now they are natural sources of
16 methane, but that is not a focus of our greenhouse gas
17 inventory. We do focus on anthropogenic sources. So the
18 inventory is not supposed to capture everything under the
19 son that you can pick up from the atmosphere.

20 So later in 2006, AB 32 passed. It provided
21 additional instruction for the greenhouse gas inventory
22 compilation. It explicitly named seven greenhouse gases, so
23 these other six (indiscernible) protocol gases, plus
24 nitrogen triflouride was added in 2009. And it also
25 specified that California shall include the imported

1 electricity greenhouse gas emissions, and this goes beyond
2 the typical boundary of IPCC inventory which kind of ends at
3 our national border. In California, we do go beyond
4 California borders, including importing electricity in our
5 inventory. And AB 32 also instructed ARB to establish the
6 historical baseline, the 1990 emission level which becomes
7 our 2020 emission limits that we will have to meet in a few
8 years.

9 So this is an overview of our greenhouse gas
10 inventory. This is our current inventory that is on the
11 website right now. And it is based on IPCC fourth
12 assessment report, 100-year GWP. And I know many people
13 have asked the question, why are we still using fourth
14 assessment and 100-year GWP? How come we're not using 20-
15 year? How come we're not using fifth assessment?

16 And the answer is this, IPCC's national greenhouse
17 gas inventory, right now they are using the fourth
18 assessment 100-year GWP. And again, this is important for
19 California to have consistency. That's why the official
20 greenhouse gas inventory is still using fourth assessment
21 100-year GWP.

22 So this shows the 2013 emissions in front of our
23 2015 edition of the greenhouse gas inventory. The 2016
24 addition is in the works. It's being currently reviewed
25 right now, and hopefully it will be published soon.

1 So looking at this pie chart we see that over 80
2 percent of emissions are Co2. And methane accounted for
3 only nine percent. If you use a 20-year GWP, methane is
4 much larger. Actually, the percentage-wise is twice that
5 shown in this pie chart. And currently our 2013 emission is
6 at 459.

7 So just a really brief overview of the
8 quantification method. We use a variety, a large variety of
9 different methodologies to quantify emissions for many
10 different sources. Now over 80 percent of the emissions in
11 the inventory are mostly Co2. And these Co2 emissions, we
12 are very confident about. They are subject to a five
13 percent accuracy standard, and these are well known. So
14 most of the emissions' inventory come from these two
15 methods. So we've got the direct emissions' measurements,
16 so these are CEMS, and with Co2 monitor, and some high
17 emitting facilities. So these include refineries and
18 hydrogen production plants, cement plants, and some power
19 plants. And these are measured pretty accurately. And most
20 of the emissions come from direct fuel measurements, so
21 these are fuel-based emissions calculation method.

22 Fuel use is tracked through our mandatory
23 Greenhouse Gas Reporting Program, our MLR, and also other
24 state and federal agencies such as DOE, CEC, and EIA. So
25 these fuel use quantities are measured so we know what they

1 are. And with the fuel use quantity, then we'll use
2 emissions factor, heat content, and also carbon content
3 which may be either default emission factor that is commonly
4 used, or it could be source-specific factors that's measured
5 periodically by fuel assembling (phonetic). And so this
6 carbon content which determine how much emissions coming out
7 of how much fuel was burned, it is pretty well known. And
8 it is subject to a five percent accuracy under our mandatory
9 reporting program, so we do have a very high confidence
10 level for these emissions. So uncertainty is pretty low.

11 So we contrast that, the Co2 emission from the
12 fuel-based method, with methane. And first of all, we start
13 off with an overview of the methane inventory. Again, the
14 pie chart is showing 100-year GWP fourth assessment report.
15 And currently methane is 41 million metric ton. And if you
16 are looking at 20-year GWP, it is 118 million metric ton.

17 So earlier Kathleen showed a pie chart in her
18 presentation that showed the U.S. national methane
19 inventory. And oil and gas is actually a pretty big piece
20 of the pie. And livestock is not as big.

21 But California's picture is different. In
22 California the agriculture, specifically livestock interior
23 fermentation and manure management, is the largest piece of
24 the pie. It's almost 60 percent. And oil and gas and
25 pipelines, they account for -- together account for earning

1 15 percent. So it's actually not that big compared to the
2 other methane sources. And benthanes was another big one,
3 it's 20 percent. And we also have other emission sources.

4 So the challenge with methane emission
5 quantification using bottom-up inventory methodologies that
6 these are not combustion sources, they're not directly
7 measured. And in a sense they are kind of like Whack-A-
8 Mole. You know, they are based on biological processes.
9 And sometimes you pop up here, you pop up there, and you're
10 looking at this today and the next day it may be different.
11 And sometimes it rains and you got a lot of emissions. And
12 sometimes cows eat different food and they got different
13 emissions. So it is actually a big challenge.

14 So these are -- so we have been basing our
15 emission estimation method on modeled or default emission
16 factors and on estimation of activity data from different
17 data source agencies, and also model emissions using models.
18 And a lot of these models are based on indirect factors that
19 go into some kind of equation that can calculate or estimate
20 emissions such as nutrient content, the livestock feed, or
21 the amount and type of waste that goes into the landfill and
22 buried there. And sometimes source tests may be used to
23 determine emission factors that can represent source for --
24 the source tie for a single for like a group of sources that
25 have similar processes. So methane emissions generally have

1 higher uncertainty. And this is something that we know of,
2 and we're interesting in refining our emission estimation in
3 the inventory to make it more accurate and to reduce our
4 uncertainty level.

5 So currently this is an overview of the inventory
6 method for methane sources that's currently in the
7 greenhouse gas inventory. So for the oil and gas and TND
8 sector, we are basing our estimation based on two
9 comprehensive ARB surveys that collected 2007 data. And
10 this ARB survey is the most complete, most comprehensive and
11 most detailed dataset that is available out there, that's
12 why we've been using this.

13 So for the time series of emissions we use
14 surrogate data and surrogate parameter, and we estimate the
15 time series of emissions by mapping the trends in the
16 surrogate data derived from the ARB survey to produce the
17 time series of emissions. And the surrogate data that we
18 use for production comes from USEPA's national inventory,
19 and for transmission it comes from PHMSA, and for
20 distribution we use residential housing unit data.

21 The drawback of this methodology approach, you
22 know, in the absence of a better method that can produce a
23 time series is that if there have been emission reduction
24 measures that have been implemented, either by the company
25 or by regulation, we are basically assuming that the

1 emission rate, emission factor has not changed in the
2 studies over the years, and it doesn't reflect those
3 changes. So this is one area that we'll be looking at in
4 the next few years to refine our estimation in the
5 inventory.

6 Now just quickly on the other sources of methane,
7 for landfill we've been using the First-Order Decay Model.
8 This is IPCC methodology. And we have been using
9 CalRecycle's waste deposition inventory, and also their
10 Waste Characterization Study. To input into the equations
11 behind the model we used various parameters, that's a common
12 practice used by EPA, CEC and IPCC, such as carbon content
13 and waste degradation factor.

14 And for the wastewater sector we are basically
15 just using the standard textbook equation to calculate
16 methane emissions for wastewater. For domestic wastewater
17 we use USEPA's estimation of parameters and the emission
18 factors. And for industrial wastewater the parameter that
19 we enter, we put into the equation for refineries, we use
20 CEC production data, and for agriculture processing we use
21 data from CDFA and USDA. And for other industrial sources
22 we actually use our total organic gas information from our
23 criteria pollutant inventory, and we do that to speciate
24 (phonetic) that to methane, and that's how we estimate those
25 emissions.

1 And for dairy livestock, we have been relying on
2 USEPA's model for interior fermentation and manure
3 management. Some parameter going to the equation, going to
4 the model include animal age and animal type and what kind
5 of feed they eat, and also the waste type, and also manure
6 management practices.

7 So the greenhouse gas inventory, every year we
8 compile a new addition of inventory. It is a pretty long
9 process. It takes about seven to eight months every year.
10 And between the inventory compilation cycle we will review
11 our inventory and then identify areas where we could improve
12 on.

13 So every year we do some routine method and data
14 updates. And some of these routine updates include we would
15 use improved emissions estimation methodology that have been
16 recently developed, and we will update the activity data,
17 and also emission factors that have been recently made
18 available by the data source agencies and other agencies.
19 And we will incorporate our latest knowledge about emission
20 sources that we have learned since the previous inventory
21 addition. And we will also modify inventory categorization
22 in response to program needs to better support different
23 programs. So these routine changes, although they might
24 change the numbers, the emissions numbers, but they don't
25 actually change the scope of the inventory.

1 So in accordance to the IPCC guidelines which
2 instruct nations to calculate emissions for the entire time
3 series to make sure that we have consistency so we don't
4 have, you know, the first few years of using this method and
5 the other few years use another method. So IPCC's
6 guideline, we have to recalculate emissions for the entire
7 time series from 2000 to the current year. And so because
8 of this, and we do follow this guideline.

9 And because of this, sometimes when the data
10 source agency updates their statistical data, or if a
11 methodology has been updated using a better method, and
12 you'll see that the emissions from older years might change
13 compared to previous additions to the inventory. And this
14 is consistent with the international standard for greenhouse
15 gas inventory.

16 So ARB's Oil and Gas Branch under Elizabeth's
17 leadership, they have been busy doing a lot of work. And so
18 the recent development in the oil and gas regulations can
19 lead to several inventory improvements that we're looking
20 for to potentially update the inventory in the future. So
21 we now have better information about high emitter
22 components. So the future emissions estimation for these
23 components can be updated to account for the high emitter.
24 And for large reciprocating and centrifugal compressor
25 emission, previously we have been using equipment counts

1 multiplied by a default emission factor. And now we have
2 actual data for these sources, found operators that we could
3 use to refine our estimation.

4 And for separator and tank emissions, there has
5 been more comprehensive methods developed as a part of the
6 regulation that we can also refine our estimation.

7 The anticipated time frame is that our oil and gas
8 regulation process will be completed by mid-2017. So using
9 the updated information, we'll be able to update our 2018
10 edition for the greenhouse gas inventory covering 2000 to
11 2016 emissions.

12 And on the transmission and distribution side of
13 it, so we have SB 1371 which reduces the methane from this
14 T&D sector. Under SB 1371, gas utilities, they submit
15 annual reports on emissions and leak management practices.
16 And whenever possible we will use a higher tier methodology.
17 And so as a part of 1371, instead of using length of
18 pipeline which is what we're currently using in our
19 inventory, using length of pipeline multiplied by USEPA
20 default emission factor, now we'll be able to estimate
21 emissions based on number of leaks or California-specific
22 emission factor. And also under this reporting we also
23 track number of open leaks. So these are all additional
24 information that we could use to refine our greenhouse gas
25 inventory.

1 So there is a couple of ARB funded studies that's
2 in the works right now. GTI is under a contract with ARB to
3 study, to come out -- to develop California-specific
4 emission factors for T&D and, if appropriate, we'll be able
5 to use the California-specific factor, instead of USEPA's
6 default factor, in the future. So this project has recently
7 been completed and it's currently under review. And, in
8 fact, I think later on in this plenary session they do have
9 a presentation, so we'll hear more about that. And then we
10 also have a customer meter study that's being proposed.

11 And if you have more questions, I will point to --
12 I will point the question to Elizabeth for answering. All
13 right.

14 So other than those emission sources that area
15 already in the inventory that we are looking forward to
16 refining, there are some methane sources out there that
17 still need additional data and method development. So these
18 are sources that's not in the inventory yet. So we have
19 residential appliances' leaks.

20 Preliminary results from CEC funded study
21 conducted by Lawrence Berkeley National Lab. And I don't
22 know whether Marc Fischer is here. That's Marc Fischer. So
23 some preliminary results from Marc Fischer suggest that this
24 emission might be substantial. So this currently is a
25 project going on. So, again, Marc Fischer will be here this

1 afternoon. I'm sure we'll hear more about that.

2 Then abandoned and gas well, this may be
3 significant, but currently we have little or no data
4 available at this time. So we are interested in getting
5 more data to help us understand this source better. And we
6 know that, you know, there's a lot of abandoned wells out
7 there.

8 And the next one is petroleum seeps. This is a
9 natural source. And existing estimate for petroleum seep is
10 based on local air district information that is not
11 comprehensive and may be outdated, and we know there are
12 thousands of seeps throughout California. And again, our
13 current estimation is pretty rough and we are looking for
14 different ways to refine this estimation.

15 And for wetland methane, again, this is a natural
16 source. And currently there is some international dialogue
17 with IPCC and USEPA on developing quantification methods.
18 We will be following that development to see what methane
19 comes out of it, and we'll consider putting that in the
20 inventory or quantify those emissions.

21 And we also have methane released from water
22 bodies. And currently, again, we have little or no data
23 available. But what is out there right now does suggest
24 that the methane dissolved in the water can be released when
25 the water is disturbed. And some of the potential sources

1 might include hydropower water discharge, reservoir water
2 releases, water bodies, lakes and ponds, and also near-shore
3 ocean upwelling. So again, some of these are natural
4 sources. These are sources that potentially may be methane
5 sources, but we have little information.

6 So last slide, so future work for improving the
7 methane inventory, so for sources that are already in the
8 inventory, we will continue to update the data used for
9 emission calculations based on the data's available
10 information coming out of the data source agencies. And we
11 will continue to refine emission estimation methods based on
12 the new research and the studies that are coming out from
13 the academics, and also different groups. And we will also
14 look for ways to account for the benefits of emission
15 reduction measurements going into the future.

16 And for sources that are not already in the
17 inventory, we will continue to look for potential data
18 sources, and also potential methods to do these emission
19 quantifications. And we will also continue the dialogues
20 among stakeholders and research community on, you know, how
21 to have a better handle of those.

22 And there are many interesting research and
23 studies by academics and nonprofit groups, and also
24 industry. And so following my presentation there's a more
25 interesting presentation about these methane sources. And

1 we're looking forward to working with the stakeholders and
2 work with the researchers to further refine our greenhouse
3 gas inventory.

4 And that's it.

5 (Applause.)

6 MS. TEN HOPE: We can take a question or two. And
7 I'd also ask the other panelists if they wouldn't mind
8 joining us up here, Ramon, Christie and Rob.

9 MR. FISCHER: Good morning.

10 MS. HUANG: Hi.

11 MR. FISCHER: Very good.

12 MS. HUANG: Hi. Yes.

13 MR. FISCHER: Hi, yes, I am here.

14 MS. HUANG: Yes.

15 MR. FISCHER: Thank you for --

16 MS. HUANG: I didn't see you over there.

17 MR. FISCHER: -- mentioning the work on
18 appliances.

19 MS. HUANG: Hi. Good morning.

20 MR. FISCHER: I'm really curious whether your
21 group is starting to -- you want me to hold it -- starting
22 to consider including uncertainty estimates in the inventory
23 along some of the same lines that USEPA now engages in?

24 MS. HUANG: Okay. Yeah. So for the 2020 limit,
25 there's no uncertainty around it, first of all. So you're

1 right. So uncertainty estimation is something that we have
2 not spent a lot of effort on, but it could be something that
3 we need to look at in the future. But regardless, when we
4 got to 2020 there's no uncertainty associated with it, we
5 meet it or not, 431 is 431. So we cannot really argue
6 whether we're at 431.5, whether we meet 2020 limit or not.
7 So there is a little bit of complication behind that. But,
8 yes, that is something that we have not done much, uh-huh, I
9 acknowledge that. Yeah. Okay.

10 MS. TEN HOPE: Any other questions?

11 MS. HUANG: Okay.

12 MS. TEN HOPE: Thank you.

13 MS. HUANG: All right. Thanks.

14 MS. TEN HOPE: Okay, our next speaker is Ramon
15 Alvarez. Ramon is the Lead Senior Scientist at EDF. Since
16 2008 he's been working on better characterization of air
17 emissions from oil and natural gas operations. He has a
18 B.S. in Chemistry from Duke University, and a PhD from the
19 University of California at Berkeley. He's going to share
20 comprehensive studies on what we're learning in this whole
21 topic.

22 MR. ALVAREZ: Thank you and good morning,
23 everyone. It's good be back in California again. I gave a
24 talk about a year ago at the California Energy Commission
25 and it covered a lot of the work that had been done through

1 Environmental Defense Fund-sponsored studies up to that
2 point. So I'm going to talk about really what's come since
3 then. And available to talk more in detail afterward with
4 anyone who's interested.

5 To start, let me just reemphasize the importance
6 of methane. I think we've heard a couple of good summaries.
7 But as a reminder, because of methane's short-term climate
8 impacts it is causing about a quarter of the radiated
9 forcing or the heat absorption of chemicals in the
10 atmosphere today. Certainly for long-term mitigation of
11 climate change we need to address the carbon dioxide
12 problem. But there's a real opportunity to make short-term
13 progress by dealing with this very potent greenhouse gas
14 that's accounting for a quarter of our total greenhouse
15 warming today.

16 About four or five years ago Environmental Defense
17 Fund began a series of studies to try to understand better
18 how much methane was being admitted from the natural gas
19 supply chain. The project has sort of taken the form of 16
20 discrete projects. And we've worked with a variety of
21 partners in academia, in the research community, in
22 industry, totaling over 100. These projects had five common
23 principles, that they would be led by academic experts,
24 published in peer review journals, looking for outside input
25 in the design and analysis of the data, and looking for

1 multiple methodologies to try to make sure that the results
2 we were getting were robust. And one final thing, that all
3 of the results would be made public to ensure transparency
4 and to provide sort of that knowledge for others to act on.

5 So far there's been 27 papers that have been
6 published. As of last year when I gave this talk the bottom
7 half of the table had not been published yet. I'm going to
8 talk about the bottom half then today, starting with the
9 Barnett Shale campaign that's in a place in Texas, and then
10 some more recent work at the bottom.

11 Just by way of acknowledgment, this work, while
12 EDF has sort of catalyzed this work with seed funding and
13 sort of organizing, sort of convening the work, this would
14 not be possible without a lot of the research experts that
15 we worked with and the different universities. And for some
16 of the studies, also, the industrial partners that allowed
17 access to their facilities and provided other data to make
18 this information possible.

19 Starting from the top, I want to make a
20 distinction here that's important and I think sort of one of
21 the sort of most interesting topics, subtopics in this area,
22 which is the persistent difference between results that you
23 get from top-down studies and results that you get from
24 bottom-up studies. And what I mean by that, just to make
25 sure we're all using similar terminology, for top-down, it

1 literally is kind of top-down in the sense that you're
2 making measurements, atmospheric measurements, sometimes
3 from the air, sometimes from space. But they could also
4 include -- sometimes people will define facility-level
5 measurements made downwind as top-down. And in this case
6 I'm calling anything that's facility or component specific
7 as bottom-up, and anything that's sort of atmospheric-based
8 measurements at the regional and larger levels top-down.

9 So I'm going to have sort of four sort of sections
10 of this presentation. And it's hard to cover, again,
11 everything that we've done, so I'm going to just focus on
12 some things that have particular relevance for the things
13 going on in California, starting with the Barnett Shale
14 campaign. And the reason I'm bringing I'm bringing this up
15 is because it represents the first time that we were aware
16 of where an effort to make atmospheric measurements, top-
17 down measurements using an aircraft of basin-level
18 emissions, were able to be reconciled with estimates based
19 on a bottom-up kind of inventory construction. And it
20 turned out that that inventory that we constructed was
21 almost twice as high as what you would expect from the
22 national greenhouse gas inventory. And so I just wanted to
23 sort of highlight some of the things that caused this to
24 work out.

25 To start with, the top-down measurements were done

1 by a group led out of NOAA. Colm Sweeney is here today.
2 He'll talk about these results, as well as others, sort of
3 the technique. But this figure shows you the Barnett Shale
4 area in the shaded colors. The core counties are in the
5 darker color in the middle, eight counties that account for
6 most of the production activity there. And the different
7 polygons that are there show you the estimated source
8 regions that they sampled on each of seven or eight
9 different flights during March and October 2013.

10 From these flights they were able to come up with
11 an independent estimate of total methane emitted in the
12 region. They were also using an ethane analyzer to be able
13 to use it as a fingerprint to identify the methane that came
14 from fossil sources. And so they came up with a total
15 methane estimate from oil and gas sources, and a total
16 methane estimate from all sources in the region. About 80
17 percent was from fossil sources, as you would expect from a
18 region heavy in natural gas production.

19 So this summarizes the top-down results. The blue
20 circles represent the seven different days that were
21 reported. The triangles, the orange triangles represent our
22 bottom-up estimate for each of those days. Using the source
23 regions that are shown in those polygons, sort of, we grid
24 it and we estimated the emissions. And those specific areas
25 you get these results, and they vary from day to day, both

1 the top-down and the bottom-up. But on the top line you can
2 see the average was in very good agreement. And this was
3 the first time that this had been reported, this agreement
4 between the top-down and the bottom-up.

5 And as I mentioned, the bottom-up, which was
6 produced in these papers, is on the right side there. What
7 you would get from the greenhouse gas inventory of that time
8 is on the left side. And I want to call your attention to
9 the two biggest differences being the bottom two sections,
10 the blue and the red, the blue being the production, gas
11 production, and the red being gas gathering. And I'm going
12 to talk about sort of the reasons for that big difference
13 there in those two categories.

14 Well, the first reason was -- for gathering, the
15 reason that it's so small in the EPA's greenhouse gas
16 inventory is largely due to the omission of facilities that
17 are quite prevalent in the field. There was one of the
18 studies that was done out of Colorado State that looked at
19 gathering facilities nationally. They estimated something
20 like 4,500 facilities around the country. The greenhouse
21 gas inventory had a nominal number of like 12 large
22 compressor stations that were associated with gas gathering.

23 So somehow these facilities had sort of slipped
24 through the cracks of inventories. They were either
25 nonexistent at the time of the original surveys in the 1990s

1 or just were missed. But a very significant source of
2 emissions nationally. And if you're sampling a heavy
3 production area you're going to see these kinds of
4 facilities, and they all have significant emissions.
5 Emissions for facilities, which basically gather gas from
6 multiple wells, compress it, sometimes they do some
7 dehydration, and then send it on down to processing plants
8 or transmission pipelines. They're very similar in many
9 ways to the emissions from large transmission and storage
10 compressor stations. So a large number of facilities, large
11 emissions missing. So getting a good count of facilities is
12 an indispensable start towards an inventory. You've got to
13 have good facility counts.

14 The second big reason has to do with what you've
15 already heard about today, which is the nature of facility
16 distributions being skewed. It seems to be, you know, a
17 ubiquitous phenomenon on this field. And sometimes people
18 say, well, that's the effect of super emitters. I think we
19 should always be cautious about the definitions of what's a
20 super emitter and what's a fat tail. But I'm going to focus
21 on the fat tail here, talk a little more about super
22 emitters later.

23 But the point is that when you account for the
24 influence of the fat tail on the average emission factor of
25 a typical facility you can get a result that you see here.

1 Like, for example, look at the well pads. These are the
2 production sites. If you account for the full effect of the
3 highest emitting facilities, the very fat tail of the
4 distribution, using a statistical estimate method that we
5 presented in the synthesis paper for the campaign, you get a
6 result that's about twice as large, 1.8 kilograms per hour
7 per site, compared to the simple average of a systematic
8 sample that was taken at facilities in the region. And so
9 there's some behavior that is not captured by the simple
10 average. And it really has to do with capturing the proper
11 influence of that tail. And to do that, you know,
12 essentially you have to use some kind of a distribution that
13 accounts for facilities, even higher than what's already in
14 the measured distribution. And so when you do that you get
15 much higher emissions from these facilities. And you can
16 then get -- if you get the facility counts right, you get
17 the emissions right, you can get this agreement.

18 So I just want to make a call-out here. Chris
19 Rella from Picarro is here. His data was the systematic
20 sample for production sites that was used in this work.
21 That's a critical component. You have to know how many
22 facilities you measured, including the ones that had
23 emissions that were below the detection limit. In total
24 they produced about 180 sites that had either zeros or
25 detected emissions. It turned out they had a couple of high

1 emitting facilities that sort of started to define the shape
2 of that distribution. And it turned out that that data set
3 by itself actually could produce a pretty reasonable
4 estimate of the emissions in the region when you do the
5 mathematical fit to the data, as opposed to just taking the
6 simple average.

7 So critical that you have a sampling that gets the
8 zeros and gets the tail, and then critical that you have a
9 methodology, a mathematical method to really account for
10 that full distribution in the analysis.

11 So takeaway from this, I think for California, I
12 saw that there's some future work going on here to sort of
13 do campaigns in various regions of the state to characterize
14 emissions. You know, a well-designed top-down campaign or a
15 well-designed bottom-up campaign has the potential to get
16 you a good regional estimate of total emissions. If you
17 have them back, that sort of then provides independent
18 checks on them, so that's even better.

19 And then secondary, the fact that the EPA
20 greenhouse gas inventory, as many people have reported
21 before, underestimates emissions in the case of the Barnett,
22 largely because of the production and gathering.

23 The second study that I'm going to talk about is a
24 helicopter survey of 8,000 well sites around the country,
25 looking at what we call high emitting sources. And infrared

1 camera mounted on a helicopter is only going to see
2 emissions of a fairly large amount. They took out the --
3 the detection limit is about one to three grams per second.
4 As Adam Brandt mentioned, the cameras are sensitive to some
5 hydrocarbons more than others. That's we have this one to
6 three gram per second range. If you're seeing things with
7 heavier hydrocarbons you would have a lower detection limit.
8 But these are pretty significant emissions, 25 to 100 tons
9 per year from a single source, just to give it some scale.

10 This is an example of what you see. Tanks
11 accounted for 90 percent of total observations. So again,
12 the highest emitting sources at natural gas production
13 sites, tanks accounted for 90 percent roughly of those
14 around the country. We sampled seven different basins. On
15 average about four percent of sites sampled had visible --
16 had a source with visible emissions on them. So if you
17 sample 8,000 sites you would see about four percent of sites
18 like this one with some source of emissions; 90 percent were
19 tanks.

20 What does it mean? You got sort of more insights
21 into this than we were able to provide in this paper. Adam
22 is talking about further work where they've gone to revisit
23 these sites multiple times. This was just based on one
24 site, one-time visit, basically one or two minutes surveying
25 a site. If you detect emissions you take a video.

1 Otherwise, you go on to the next one. It was a one-time
2 snapshot. But what does it mean?

3 You know, the main thing that we took away from it
4 is that we tried to predict, based on data on the production
5 of these sites, of gas, of condensator oil, of water, the
6 age of the facility, a lot of parameters that are publicly
7 available for these sites, you couldn't predict more than
8 about 14 percent of the observations with the parameters
9 about these sites. So we conclude that it's a stochastic
10 behavior, not really something that you can predict and say
11 that facility based on this data should have emissions,
12 let's go fix it. Well, that's not going to get you very
13 far. So a stochastic problem. And then the question is
14 going to be how persistent are the emissions versus how
15 intermittent are they?

16 The second point to make is that there was wide
17 evidence for emissions from tanks that should not be
18 occurring because the tanks are supposed to be controlled.
19 So because of a variety of state and federal requirements,
20 most tanks with high production are supposed to have their
21 vent gas routed to a combustor or a flare or captured.

22 Here's an example, I don't know if it comes up,
23 but on the top right circle there you can see there's a
24 little flare with a flame on it. This site has a flare on
25 it connected to the tanks, yet here's what the tanks look

1 like when you visualize them with an infrared camera. There
2 are significant emissions coming from one of more hatches or
3 vents on those tanks. So the control system was not
4 working. And you see that on a lot of sites, that the
5 controls are there but the emissions are not coming from the
6 flare, they're coming from the tank, suggesting that
7 something is amiss there.

8 So implications, just to reiterate, tanks are a
9 major source, probably represent a significant mitigation
10 opportunity. And the key thing is going to be a monitoring
11 system or scheme that would allow you to quickly identify
12 and fix the kinds of problems that are observed.

13 This is work that's now in progress. So you're
14 going to see something that hasn't been published yet. We
15 hope to have this admitted any day now. But I mentioned
16 that in the Barnett Shale we had agreement between the top-
17 down and the bottom-up based on facility emissions, and that
18 the facility emissions were about twice as high as what
19 you'd expect from the greenhouse gas inventory.

20 So now we're asking the question, going down to
21 the component level, what is the component-level behavior
22 that leads to the facility-level emissions that would
23 measure downwind of a facility?

24 And what we find is perhaps not very surprising,
25 but we have now sort of the quantitative evidence to show

1 that the expected behavior of components based on
2 measurements that are reported in the literature or in EPA's
3 inventory are not sufficient. Those emissions from the
4 individual components, not sufficient to explain the
5 emissions from sites.

6 So you see that in two ways here. The top panel
7 shows you the distribution of facility emissions. So on the
8 bottom on the X axis you're going to have the emissions per
9 site ranked from low to high. The top panel shows you in
10 the orange lines what you got from the Barnett distribution.
11 The sites in the Barnett Shale have that distribution. The
12 blue line is what the components aggregation produces. And
13 you can see that, in fact, the components actually over-
14 predict on the low end of emissions, so we can talk about
15 that.

16 But the main thing is that the emissions at the
17 high end, the high emitting sites at the high end of the
18 distribution are missing. And that's important because the
19 highest one percent of sites, the fat tail, accounts for
20 like 40 percent of the emissions in this distribution. So
21 if you don't have those you can see you're going to have a big
22 error in your estimate. And you can kind of see that on the
23 bottom panel which shows you cumulative emissions. Again,
24 sites are ranked from left to right according to total
25 emissions. The orange line shows you what you expect from

1 the site distribution. It shows you going up, all the way
2 out to the highest estimates, highest emitting sites. But
3 the bottom blue line distribution doesn't get -- those sites
4 are missing. That chunk of emissions is missing in the
5 total. And so your components are not producing the
6 behavior that is evident when you survey sites.

7 And what we conclude in this paper, which is still
8 not published, is that this is the evidence of the super
9 emitters, that they're not being captured in the emission
10 factors that are reported in the literature or in the
11 inventories. They're hard to sample. They're rare.
12 They're, you know, perhaps things that occur less than five
13 percent of the time. And so -- but that behavior is
14 occurring there.

15 We believe it is stochastic in the sense that you
16 can't predict it. It may not be persistent for long periods
17 of time, but it is causing a big chunk of emissions. And
18 it's critical again for these to be sought out through
19 frequent or continuous types of monitoring schemes to find
20 them and fix them.

21 For California, what does all this mean? I guess I
22 would say a couple of things. A lot of the work that was
23 done under the EDF sponsored studies was in other parts of
24 the country. There was some local distribution data from
25 California that's relevant, but I will say that I think a

1 lot of the results for some of the discrete industry
2 segments will be relevant. I think transmission and storage
3 compressor stations, the behavior nationally, there's no
4 reason to believe it will be different in California. So I
5 think there's a starting point for you to sort of mine some
6 data there. I think of the behavior of super emitters and
7 the influence of super emitters is likely relevant. I think
8 the design of campaigns, top-down and bottom-up campaigns,
9 to give you a comprehensive picture is relevant for the
10 state. And I think that abandoned and orphaned wells, there
11 was a pilot study done on those. There's also a second
12 paper that published out of Princeton that shows some
13 abandoned and orphaned Wells. Starting point of information
14 there that you can look at.

15 But beyond that, I've heard a lot today about sort
16 of the state inventory and the interest for lifecycle
17 modeling of what's going on upstream. And so I'm going to
18 sort of cheat a little bit and preview some information that
19 Colm Sweeney from NOAA is going to present later. They've
20 flown, not only in the Barnett Shale, which I presented
21 their results, but they flown in at least six other basins
22 that have been published already. There's unpublished work
23 as well that's still to come. But this shows you in the
24 circle, the red circle, the bottom-line results terms of the
25 leak rate. The natural gas emitted relative to the natural

1 gas produced, there's a big range there ranging from less
2 than a percent to almost ten percent in the different
3 basins. But each basin has its unique characteristics,
4 including different levels of production of gas, also
5 different production of oil. But forget everything else on
6 this table and just look at the bottom box. If you take all
7 of the averages in the different basins and you average
8 them, weighting them by production, so a basin with more
9 production has higher weight than a person with lower
10 production, you end up with 1.9 percent in these seven
11 basins as the average of gas emitted over gas produced.

12 So let's just take that number and say what does
13 that mean for California?

14 So first of all, that's the emissions from
15 production basins. You have to add to it the emissions from
16 the transmission system to bring that gas from the
17 production basins to the state. In the Barnett synthesis
18 paper we did an analysis for the effects of the natural gas
19 emissions, natural gas leakage on a power plant, natural gas
20 power plant versus coal plant in the basin. And there we
21 estimated if you were going to do an analysis in other
22 basins downstream, like say in Chicago on the eastern
23 seaboard, you would probably have about half a percent
24 additional leakage due to the transmission pipeline and
25 compressor stations.

1 So let's just add those together, 1.9 percent as
2 the production estimates, upstream estimates, plus half a
3 percent for transmission and storage, 2.4 percent. You can
4 change the numbers very readily. I'm happy to provide the
5 spreadsheet to calculate this. And what you get is a
6 distribution here. And I've shown the red line as a
7 continuous distribution because people always report the 20-
8 year or the 100-year average. This is using a technique we
9 call technology warming potential which assumes continuous
10 production and use of natural gas. If you wanted to
11 consider just a pulse, which is the more conventional
12 approach, one pulse admissions for a year or something like
13 that, the bottom line is you get the gas coming into the
14 state of California on a 20-year basis adds about 60 percent
15 extra warming to the climate than if you just consider the
16 combustion of the gas alone.

17 So the bottom line is that upstream leakage
18 matters. It increases the 20-year climate impact of natural
19 gas use by 60 percent. On the 100-year impact it's about
20 20%. That sounds kind of abstract. What does it mean if
21 you just -- you know, Anny Huang presented the total
22 greenhouse gas inventory in California for methane was 41
23 million metric tons. The data that's presented up here
24 shows that on a 100-year basis you would have about 20
25 million metric tons from that upstream leakage associated

1 with the gas consumed in California, so almost half of the
2 current inventory would be due to this Upstream impact
3 that's not being right captured now.

4 And to give that some context, that represents
5 about 6six coal plants on a 100-year basis, about 18 coal
6 plants on a 20-year basis, so pretty significant. I think
7 it points to the fact that this is important from a climate
8 management standpoint. And in other work that we've done we
9 talk about the opportunities to reduce these emissions
10 which, you know, I think we agree with the state here that
11 there's plenty of opportunities to reduce those. So I'll
12 stop there. Thank you very much.

13 MS. TEN HOPE: We are running a little tight, But
14 I'll take one question if we have a quick question from the
15 audience. All right. Well, thank you very much.

16 Next up is Christine Wiley. And Christine is
17 going to share specific information on methane emissions
18 from the natural gas pipeline. Christine is the program
19 manager for GTI's Environmental and Methane Emissions
20 Program. She's worked in the natural gas industry for 15
21 years and has expertise in both field measurement and
22 methane sensing and leak detection. She has a BA in Biology
23 and an MBA from the University of Chicago. Thank you.

24 MS. WILEY: So Ramon gave a very good overview of
25 all of the EDF studies that they've been conducting. And a

1 lot of the past presentations have been focused on methane
2 measurement studies, more upstream operations focused. So
3 I'll be focusing specifically on some of the emission
4 estimates that we've been doing for the distribution sector.

5 So just for those of you who may not be familiar
6 with GTI, we are a not-for-profit search organization. And
7 we do R&D for the entire value chain of the natural gas
8 industry, so everything from exploration and production of
9 natural gas to a utilization of natural gas. And our
10 headquarters is just outside of Chicago. We have a little
11 over 300 employees. We actually have a few offices out here
12 in California, and we have a growing presence here in
13 California with a lot of the projects that were doing,
14 specifically with the California Energy Commission, and the
15 Air Resources Board.

16 So, you know, we developed this project a few
17 years ago specifically with the Air Resources Board. And we
18 recognize that there is various sources of methane emissions
19 within the distribution sector. But, you know, working with
20 the Air Resources Board and with some of their project
21 constraints, we decided to focus specifically on looking at
22 emissions from distribution pipelines. And so the project
23 was approximately 24 month. We just completed it last year.
24 And the final report is still undergoing review, which I
25 think was mentioned by Anny. But we were given the

1 opportunity to present some of our results, so going to give
2 an overview of that. But hopefully the final report will be
3 available very soon.

4 And so we worked with three of the largest
5 utilities in California, so SoCal Gas, SDG&E, and PG&E in
6 terms of soliciting sites for field measurement campaigns
7 and being able to coordinate that through those utilities.
8 And really the objective was to quantify fugitive emissions
9 from natural gas distribution pipelines. So we conducted
10 field measurements to basically establish improved emission
11 factors from known leaks. So, you know, that's something
12 that I want to specify is that, you know, we were with the
13 utilities and so we were going out and measuring leak grades
14 and emissions, specifically from existing non-hazardous
15 leaks. So it's very different from the studies may be that
16 are evaluating different leak surveying technologies where
17 it's independent of the utility and they're just going out
18 and randomly conducting a leak survey and determining if,
19 you know, they're getting hits of methane concentration.
20 Here we're actually going out to known leak sites with the
21 utility crews.

22 So you're probably familiar with the methods for
23 estimating methane emissions, basically utilize an emission
24 factor. A lot of the emission factors that are currently
25 being used today were developed from GRI which is a GTI

1 predecessor, and EPA back in 1996. And then you couple that
2 with an activity data, basically, for example, for pipelines
3 it would be the miles of pipelines, and then that's how you
4 get emissions estimates. You know, recently, especially
5 with some of the EDF studies that have been conducted, EPA
6 has updated their greenhouse gas inventory. And so their
7 newest inventory, which was released, I believe in April of
8 this year, included new data from EDF's study on
9 distribution sources, specifically with Washington State
10 University, as well as some studies that GTI, in
11 collaboration with OTD did, more specifically focused on M&R
12 stations.

13 So as I mentioned, we worked directly with the
14 utilities. We targeted distribution underground Pipelines,
15 so specifically plastic means, and then unprotected --
16 plastic means and services, and then unprotected steel means
17 and services. You know, we wanted to target the emission
18 factors that would be the most relevant, so a lot of the
19 cast iron has already been replaced with in the state of
20 California, and there is very little copper service, so we
21 really focused in on the plastics and unprotected steel.

22 And then as I mentioned previously, we measured
23 emissions specifically from the non-hazardous leaks. So
24 those are your Grade 2s and 3s which, you know, utility
25 companies are required to monitor based on federal and state

1 requirements. So we didn't go after the Grade 1s which are
2 obviously safety hazards that have to be fixed immediately.
3 And then working off of the utility records, then we just
4 randomly selected sites to include in our field measurement
5 campaign.

6 So this is the method that we used to measure
7 emissions from the distribution pipelines. So, you know,
8 once we went out to the sites we worked closely with the
9 utilities. We surveyed the area and then mapped out the
10 leak area using a combustible gas indicator. So we wanted
11 to utilize tools that the industry currently uses. And then
12 we used an enclosure and then use the high-flow sampler to
13 measure the emissions at the surface. And then actually for
14 a subset of the sites that we went to, we also did some
15 additional validation and correlation to below-ground
16 measurements, so I'll talk about that setup and a few
17 slides. But basically we replicated what was done in the
18 previous grievance 1996 report to measure emissions at the
19 source.

20 So you know, we initiated this study about two
21 years ago actually prior to that GIT had several projects
22 that were focused on national level. And so when we were
23 originally developing the methodology about how we would go
24 about measuring the missions from pipelines, we held a
25 workshop at GIT. We actually invited -- Ramon was there.

1 We invited representatives from EPA, from NIST, from our
2 industry partners. And we really wanted to get their
3 feedback on what methodologies would be appropriate to
4 utilize. And actually the methodology that we used is also
5 very similar to what the WSU-EDF study used, as well, for
6 their national campaign.

7 And so here's a picture that shows the above-
8 ground measurements that we utilized using the high-flow
9 sampler, so we basically have that enclosure. We met at the
10 lake area, and then we use the high-flow sampler
11 specifically to measure the leak rate. So it's a pretty
12 standard tool within the natural gas industry. Originally
13 it was developed to determine leak rates specifically from
14 above-ground assets, but adapted it so that we could utilize
15 it to measure leaks at the surface from distribution
16 pipelines.

17 So as I mentioned, we also did a subset of
18 validation measurements where we replicated what was done in
19 the GRI-EPA study. So in that study when they measured what
20 the leak rates were from specific leaks in the distribution
21 pipelines, they actually isolated that section of pipe where
22 the leak was. So it was actually very burdensome to the
23 utilities because they had to isolate and cut and cap that
24 section and then measure the flow rate using a laminar flow
25 element which is shown here in the picture. So that

1 actually provide them a correlation between what we're
2 seeing at the surface and then what's actually coming off
3 from the pipe.

4 So we went out and we conducted our field
5 measurements, again with three large utilities in the state
6 of California. And then we measured emissions from means
7 and services of underground pipeline leaks and focused on
8 the unprotected steel and plastic. So within the study, you
9 know, it was a limited budget, but we were but we still to
10 collect 78 measurements. And so that's using the high-flow
11 sampler, so at the surface, and then also conduct the
12 additional nine validation measurements doing the below-
13 ground technique that was utilized in the GRI-EPA study.
14 And then we tried to, you know, get samples from across the
15 state of California in different socioeconomic areas, as
16 well. And so this chart below here shows the average leak
17 rates that were determined from the measurements that we
18 took in the field. So it shows the mean, as well as the 90
19 percent upper confidence level. And these were all from a
20 boot-shop analysis, those 50,000 samples. So you can see
21 that the highest be great actually is from plastic means,
22 and then the lowest is from the unprotected steel services.

23 So this was talked about a little bit in that the
24 distributions that we typically see from emission rates from
25 the natural gas industry are not normal and they have kind

1 of a fat-tailed distribution. And, you know, it's largely
2 due to I guess what people refer to as super emitters. I
3 would say for the distribution center, because of the grace
4 that we typically see you're much, much lower than what you
5 would see more extreme than an operation such as production
6 or processing, and in my talk I'll just refer to it as, you
7 know, larger leaks. But you can see here that it's not a
8 normal distribution, and you have those few large emitters
9 that are contributing to a higher average leak rate. In our
10 data set actually I think about 50 percent or a little over
11 50 percent of the measured leak rates that we had were less
12 than one standard cubic feet per hour.

13 So in addition to looking what the average leak
14 rates were for the different categories, whether that's
15 plastic means and services or unprotected steel means and
16 services, we also took a look at the data to see if we could
17 figure out, you know, what's the likelihood of different
18 leak rates that would occur. So based on the data that we
19 collected in the field and using some Bayesian statistical
20 analysis, we were able to determine what those probabilities
21 were for each asset class and then for each leak rate
22 category. So the chart at the top is for unprotected steel
23 means. So it's broken down by leak rate category. so the
24 first one is less than or equal to one standard cubic feet
25 per hour, and then goes all the way up to greater than 45

1 cubic feet per hour. And in the analysis you can break it
2 down however you want, but this is we chose just based on
3 the data that we collected. And what this tells us, then is
4 that, for example, for the unprotected steel mains we expect
5 that roughly 52 percent of the time a leak would have a leak
6 rate of less than 1 standard cubic feet per hour, but it
7 could be as high as 64.7 percent, just based on the upper
8 competence limits associated with those mostly likely
9 values. So it's just another way of looking at the data to
10 see, you know, what's the probability of specific leak rates
11 within each category. And then we did the same analysis for
12 the unprotected -steel services.

13 So again, this chart, we did the same analysis for
14 the plastic names, and then the plastic services. But
15 really what's it telling us is that there is very low
16 probability of these large leak rates occurring. And so,
17 you know, the data suggests that, you know, a lot of the
18 leaks that we were seeing are very small. And then, for
19 example, if you look at a large leak rate of let's say
20 greater than, you know, 30 standard cubic feet per hour,
21 there's a very low probability of that occurring. And
22 again, this is just based on the data that we collected.
23 But it kind of provides some insight as to, you know, what
24 you can expect ,and then the confidence limits around that.

25 So I mentioned that, you know, EDF and WSU

1 conducted a study to look at what emissions were
2 specifically from the distribution sector. One portion was
3 focused on M&R stations, and then the other portion was
4 focused specifically on distribution pipelines. So they
5 made that data available, the actually raw leak rate data.
6 So we were able to conduct the same analysis we did on our
7 data through this ARB study and then we, you know, did some
8 comparisons.

9 So the data that we show here from WSU, that's
10 just from our own statistical analysis. So, you know, will
11 utilized the same bootstrap method, so it's not from what's
12 reported in their paper. But you can see basically that,
13 you know, what we measured here in California, the average
14 leak rates are higher but within, specifically unprotected
15 steel means and services, within the confidence limits of
16 the WSU data, which was national. So they went out to a
17 number of sites across the U.S. and developed emission
18 factors, so it wasn't specific for California. You know, we
19 wanted to be able to compare it specifically to the data
20 that they collected from California, but all of the sites
21 are blind and confidential. So we just compared it to the
22 national averages that we determined.

23 And then you can see for the plastic means and
24 services, there's actually a pretty big difference between
25 the average leak rates that we measured versus what was in

1 the WSU study, so much so that the confidence limits don't
2 even intersect.

3 So in general, you know, the study that we did
4 specifically for California, you know, the leak rates in
5 general are higher than what was seen in the WSU study,
6 although they more than what was originally developed and
7 the GRI 1996 EPA study. And so I think it's been talked
8 about a little bit more, but we do need some better
9 characterization of admissions. And so we do have a
10 proposal under review to look specifically at emissions from
11 customer meters, and probably focus specifically on
12 residential meters. And then I think this was mentioned as
13 well, but there's existing research programs out through DOE
14 NETL that's looking to address mitigation and qualification
15 of methane emissions. And it's focused in on the midstream
16 area. So for distribution, actually, they're going to be
17 looking at improving the characterization specific to
18 industrial meters, looking at different differences between
19 vintage plastic pipe versus PE, and then also looking at if
20 there's differences and if there's a warranted need to
21 create new categories for lined cast iron and unprotected
22 steel versus unlined.

23 So then my last slide here is really, you know, Yu
24 actually talked about it a little bit in his presentation,
25 but we have an existing project with the Energy Commission

1 to quanta emissions from commercial buildings. So we're
2 going to develop and pilot test a method to measure fugitive
3 emissions within commercial buildings. And we're going to
4 focus specifically on restaurants and health care for the
5 phase. And we're working directly with Mark Fischer and
6 LVNL. He's obviously done a lot of work in this area. And
7 as I mentioned, it was just kicked off so we haven't
8 conducted any of the field measurements yet, but that's
9 hopefully soon to come next year.

10 I'm happy to take any questions now.

11 MS. TEN HOPE: Thank you.

12 Do we have time for questions? Please come up to
13 the microphone.

14 Thank you very much.

15 Our last speaker is Rob Jackson from Stanford.
16 And his research has included hybercarbon emission upstream
17 from the well pads and downstream in cities, including some
18 of the first maps of natural gas leaks across urban
19 pipelines in Boston and Washington D.C. Rob has directed
20 the DOE National Institute for Climate Change Research for
21 southeast U.S., co-chaired the recent U.S. Carbon Cycle
22 Science Plan, and currently chairs the Global Carbon
23 Project. Thank you.

24 MR. JACKSON: Thank you, Laurie. Thank you
25 everyone for being here, Kathleen for organizing. Kathleen

1 is gone. So I'm actually pretty new to California. I moved
2 here about a year or year-and-a-half ago to Stanford. I was
3 at Duke for about 15 years before that, so I'm still
4 learning. I have a lot to learn about California, how
5 things work here. I have a people to get to know. So feel
6 free to please come up and introduce yourself at breaks or
7 anything because I'd love to meet some of you.

8 All right, I'm going to talk about I guess
9 building on what some of our other speakers have discussed,
10 some of the work that we've been doing, and even a little
11 bit of other people's work, too. But mostly this is an
12 introduction, I guess, to some of the things that we do and
13 some of the examples of how we think and the kind of
14 approaches that we use. So, you know, we'll, as Laurie
15 mentioned, look a little bit upstream. We'll also look
16 downstream.

17 This is just an example of a well pad I took from
18 a helicopter. And, you know, you see the hydraulic
19 fracturing operation that's going on there, but then you
20 also see the house in the background. And you might imagine
21 how your view of that operation might differ depending on
22 whether you own the mineral rights to that operation or not.
23 And I think that's one of the reasons that hydraulic
24 fracturing as a process causes some of the controversy that
25 it does, because it puts industrial operations very near

1 people in areas that perhaps they weren't used to.

2 So the main thing that we do when we're working in
3 oil and gas-related or energy it is to try to minimize the
4 environmental footprint of different technologies. In my
5 group we spend about as much time on water issues as we do
6 on methane and leakage and such. I won't talk about water
7 today but with colleagues we did the first study of drinking
8 water quality and hydraulic fracturing back about five or
9 six years ago in the Marcellus and the Barnett and
10 elsewhere. In a couple of weeks we have a new paper coming
11 out here for California that provides a new estimate of
12 groundwater availability for the Central Valley and such.
13 So we do a lot of water-related work. But that's not the
14 topic for today.

15 The topic today is methane, obviously, and natural
16 gas. Laurie, at the end, mentioned the global carbon
17 project. This is a group I share with Naki Nakicenovic in
18 Vienna. We released an annual CO₂ budget every year that
19 integrates not just the fossil fuel emissions, but also the
20 natural sources which are also very important. So we do
21 deforestation ocean uptake and emissions, as well, land use
22 change overall and try to put all of these pieces together.
23 We also have a methane budget. We just submitted the second
24 methane budget globally yesterday globally to the journal,
25 and that's an effort led by Philippe Bousquet in Paris. And

1 I'll talk just very briefly about that in a second.

2 And then we have lots of other activities on
3 outreach, urbanization, and the new nitrous oxide budget
4 that we're just beginning globally too. And these budgets
5 really include exactly the kind of spirit that Ramon and
6 Anny and others talked about, this reconciling of bottom-up
7 and top-down, because can do the same thing on global
8 scales, as well; right? So the atmosphere is the ultimate
9 judge on what's actually in the air and what latitude the
10 gas enters the air from. So we can't tell necessarily where
11 on the planet something is coming out, but we that more is
12 coming out in the tropics then comes out of temperate
13 systems or boreal systems. So that's the kind of
14 information we do. We spend a lot of time with his team of
15 many, many people looking at inversions and such trying to
16 back out, you know, what the atmospheric numbers mean for
17 emissions from different sources and such.

18 For the new methane budget that Philippe led, as I
19 mentioned, actually some pretty common threads. I know you
20 can't read that, so don't try, but some common threads.

21 First of all globally, the anthropogenic sources
22 of methane are about half or a little more than half of the
23 natural sources. However, the agricultural emissions are
24 about two-thirds of that, 60 percent of that anthropogenic
25 component. And industry fossil fuels are about 30 percent

1 of that, so a large part but not the largest part. We've
2 already heard a bit about some of these agricultural
3 sources. And, of course, those sources are the largest
4 estimate for California, as well. And our ratios are about
5 the same globally, pretty similar really to what we see in
6 California.

7 And there a lot of uncertainties. Wetlands
8 emissions are one of the big uncertainties. We have some
9 uncertainties in geologic seeps, so naturally occurring
10 seeps of natural gas that you can't tell apart from say
11 looking at methane-to-ethane ratios and such, or not
12 necessarily that you can, and other things, as well. So
13 that's, as I mentioned, just been submitted. And it's
14 actually a paper that's available for comment online.

15 Okay, so a few examples then of upstream studies
16 and downstream studies. So now we're going to focus on the
17 U.S. And just as a background, I think no news to people in
18 this room perhaps, but there are many issues or many reasons
19 to focus on methane and other hydrocarbon emissions for not
20 just the greenhouse gas component, but also interactions
21 with heavier hydrocarbons that are admitted, other air
22 quality and health interactions for workers, emissions from
23 compressor stations, you've already heard a bit about this,
24 and these are some of the various places that the different
25 kinds of emissions might occur.

1 All right, now Ramon mentioned the paper that
2 David Lyon led, and this was a paper that's only been out
3 about a month or two. And I don't know if you want to fire
4 that video up, that's great. If you can't, don't worry
5 about it. But you've probably all seen images of well pads
6 with leaks. But just to go back, and I'll give you a
7 summary, this is the paper that Ramon discussed briefly
8 where we flew about 8,200 well pads around the country,
9 across the six plays. And the reason for doing this -- if
10 it runs, if it doesn't run don't worry about it. All right,
11 so there you see a source. These are tanks, obviously,
12 probably a hatch, I can't tell from looking at the scale.
13 But the reason for doing these top-down studies, now these
14 don't give you a number for emissions, you have to come back
15 and fly an airplane or something else to get that number,
16 but these do give you a sense of how often large sources
17 occur. And you only see these kinds of emissions from far
18 away using an -infrared camera for pretty large sources.

19 So out of those 8,200 slides that we studied, let
20 me just give a slightly expanded summary to what Ramon
21 referred to. So the four percent nationally, now this is
22 not four percent of methane being emitted, of course, this
23 is four percent of the number of sites that we see those
24 kinds of emissions coming from, they range from about one
25 percent in the Powder River in Wyoming to about 14 percent

1 in the Bakken. The Powder River and Wyoming is hard
2 (indiscernible) methane, so a different technology at play
3 there.

4 I think is the most interesting thing for my
5 standpoint that may apply to California is that emissions
6 were observed three times more often in oil and condensate
7 producing plays than in dry gas plays. And even within a
8 region like the Barnett, the number of sites where we saw
9 these kinds of emissions were 20 times higher in the heavier
10 condensate and oil producing parts of the same basin than
11 the dry gas parts of the basin. I think that's interesting
12 because it suggests it's the same regulatory body, same
13 process going on, so it's something about the operations
14 most likely. And about 90 percent of the 500 or so detected
15 sources were tanks, tank vents and hatches -and such.

16 All right, so why this result for oil? Well, we
17 don't know exactly but there are a couple of possibilities.
18 The first one is shown in that photo on the right I took
19 from a plane in the Bakken and you have more tanks, you
20 have more stuff on some of these condensate and oil
21 producing pads, as opposed to, you know, just a well itself
22 on a dry gas pad and maybe a few other small things, and a
23 pipeline that takes the gas away. So it's -probably almost
24 certainly an activity factor issue.

25 But there's also flaring going on. And I think

1 it's fair to say that if you're flaring natural gas instead
2 of getting it to market, perhaps you're not as careful with
3 that natural gas as when the natural gas is the core of your
4 business. It was probably a combination of these different
5 factors, but anyway it gives us a sense of how likely you
6 are on a randomized, a stratified random basis to see these
7 kinds of large sources.

8 Then one other thought to build upon, what Adam
9 mentioned this morning, and Adam was part of the study with
10 David, too, there was a question earlier about the
11 stochasticity. And that's absolutely true that these
12 processes are stochastic. So no one, at least that now, can
13 predict a priority, which well pad is likely to leak. We're
14 not that good yet. But once you know a well pad leaks and
15 you keep going back through time, it's much more likely than
16 average to continue leaking, at least from based on our
17 surveys and such. And so that, I think, is a pretty good
18 justification for going back and finding these because they
19 persist in many cases for a long time.

20 Okay, there other studies being done. You heard a
21 bit about abandoned wells. There are conservatively at
22 least a couple million abandoned wells around the country.
23 We really don't know what that number is. These are just
24 four I took in Pennsylvania. These are all in the photos I
25 took in Pennsylvania in the Marcellus. So thinking about

1 what activities, what things now, could be issues in the
2 future on how we shepherd these wells going forward. And
3 it's not to suggest that these kinds of situations are what
4 we're looking at in the future, but thinking long-term about
5 these.

6 Mary Kang is a post-doc in our group. She and her
7 colleagues at Princeton did the first study of emissions
8 from oil and gas wells for the Marcellus for abandoned oil
9 and gas wells. They estimated at about give to eight
10 percent or so of these states sort of fossil fuel-based
11 emissions were coming from them. So it was substantial
12 number but not a dominant number across that state level
13 budget.

14 We're just following up with a second paper for
15 the Marcellus that not only includes about a hundred extra
16 wells, but also spends a lot of time and effort where we
17 went back in historical records. So you've already heard
18 the importance of activity factors today. It's not just
19 about estimating a number of molecules coming about, coming
20 out of the site, it's also knowing how many sides are how
21 many valves are how many tanks and such are there. And so
22 we went back and spent a lot of time and effort on the
23 historical data to try an estimate, get a better number on
24 the number of abandoned wells and how we know and how much
25 confidence we should have kinds of numbers. So I don't know

1 as much about abandoned wells and sort of the history and
2 the confidence for those numbers here in the state, but
3 states that I have worked in the number of actual abandoned
4 wells are uniformly higher than the numbers estimated or
5 released in the state inventories, sometimes by you know a
6 factor of three to five or more.

7 So we do have work we're doing here in California.
8 So let's see, NETL has done some extra work, new work on
9 abandoned wells. Amy Townsend-Small has done some work back
10 east, as well. And I believe there is some work being done
11 for USGS. But we're working primarily this summer to
12 quantify emissions from abandoned wells here in California.

13 California is definitely the toughest place I've ever done
14 this kind of work in for a couple of reasons. First of all,
15 the policy in California is to cut the well off below the
16 surface. So that makes it much harder you know to put a
17 chamber around, like you're seeing in that left to lower
18 photo there that I took of Mary and crew working. The
19 fields are closed in a sense, you know, less peppered across
20 the landscape and such, so it's more challenging. But
21 anyway we and other groups are working on this and are
22 interested in trying to narrow down the estimates from the
23 band and Wells.

24 And let me finish with just a few minutes on
25 Pipeline issues. Most of this will be focusing on the

1 eastern U.S. This is a much bigger issue in the eastern
2 part of the U.S. than it is in the western part of the
3 U.S., primarily because of a predominance, well, not a
4 predominance but a greater occurrence of older piping, you
5 know, cast iron piping and unprotected steel and such. So
6 I'll show you a few results and images of laser-based, in
7 this case this is a Picarro instrumental you're seeing in
8 the upper right. Chris Rella will be talking earlier. And
9 this was with a Nathan Phillips at Boston University.

10 So we did the first studies, published first
11 studies to put these kind of laser-based instruments in cars
12 and drive block by block across cities like Boston,
13 Washington D.C., Manhattan and such and trying to get an
14 estimate of how likely those leaks are.

15 So in the case of Boston, this came out in 2013,
16 we identified about 3,400 leaks across the network there.
17 The number depends on what criteria you use, and you can,
18 you know, tweak that number up and down depending. But on
19 average the number one predictor of a leak in Boston by
20 neighborhood was old cast iron piping, no surprise there.
21 So red were road miles driven and yellow where the leaks
22 that we have service.

23 All right, that's the study. We got some things
24 done. The mayor of Boston, then Congressman Markey, now
25 Senator Markey, both commented the day the paper came out.

1 The good news there was that in July of 2014 the state
2 passed a new pipeline safety bill that accelerates pipeline
3 replacement for the state, so it allows the companies to
4 obtain more money to repair those pipes. Because, of
5 course, the distribution companies are interested in
6 repairing the pipelines but they're limited and how much
7 money they can obtain from the public utility commissions.
8 So this bill in Massachusetts has essentially front-loaded
9 that repair process. It costs consumers about \$1.00 a
10 household. Consumers will get a little bit of that back
11 because, as most of you know, we the consumers pay for the
12 gas that leaks out of the distribution system. So that's a
13 fee -that's passed on to users.

14 All right, now that for the state was passed
15 before we did the greenhouse gas budget. This was work led
16 by Kathryn McKain and Steve Wofsy's lab at Harvard. But
17 it's hard to go from bottom up. You can, and we've already
18 heard some examples of these studies with the high-flow
19 meters and such. But another way to do it is to go top-
20 down. And in this case we went top-down from the top of
21 skyscrapers in the city where you put sensors on buildings
22 in the city and have some sensors outside the city. And
23 then as the wind blew across the city you could watch the
24 concentration of methane and ethane build up in the air.
25 And then, you know, try to get a budget to estimate how much

1 of the gases were there, but also to ascribe a certain
2 amount or proportion of that methane observed to fossil fuel
3 sources.

4 So the way we did this was to measure the ratio of
5 methane to ethane. And our hypothesis was that if it was
6 dominated by a natural gas source, then it should be in the
7 same ratio of those two gases that you see in the pipelines
8 running through the city. That information is publicly
9 available. So that ratio of methane to ethane is
10 approximately represented by that light blue line that you
11 see on the figure there. The dots are sort of instantaneous
12 hourly-daily types of measurements. The red line is what we
13 observed, in this case and winter. So winter wheat
14 estimated that about 90 percent of the methane in the air
15 over Boston is coming from the natural gas infrastructure.
16 We did that because that slope is just off a little bit of
17 what you would expect from pure pipeline gas. So microbes
18 and sewer systems and wetlands and such don't give off that,
19 and they don't give it off in winter because it's cold. In
20 summer it was about 60 percent of the methane in the air.
21 The amount was the same. The proportion was lower because
22 you had other sources they were active in the system.

23 All right, so pretty good confidence in that
24 number, 2.7 percent loss of the gas passing through. Now
25 that is not representative of the country overall. This is

1 a system with by far much, much older infrastructure than
2 most cities have. And, of course, here in California, SoCal
3 and PG&E have both phased out all of their cast iron piping
4 and completed those replacements, so they have zero cast
5 iron piping. But anyway, it was about two-and-a-half times
6 higher than the state inventory suggested that it was.

7 And finally it's important to say that it's not
8 just the pipelines. This is integrating all of the sources,
9 so some of this could be coming from meters, downstream in
10 buildings, industrial applications and things like that. So
11 we can't tell t0hat apart from this approach.

12 Okay, just to finish, we mapped Washington D.C.,
13 identified about 6,000 leaks across the D.C. network,
14 another old city.

15 How might you use the information? Well these were
16 the top 50 concentrations that we observed across Washington
17 D.C., so they might help you prioritize places to repair
18 pipe. We're working with PG&E on some similar approaches
19 using more information than just concentration, of course.
20 And they have a very extensive set of measurements that
21 they've been taking for -a number of years now.

22 And then finally we can ask, who's doing a good
23 job? Because I think it's more important to show the success
24 stories. But here's a graph that we published a year or two
25 ago, just going back over a decade of replacement times and

1 asking what are different companies, different cities
2 actually experiencing? So the higher the bar on here the
3 longer it will take that City or that company to get rid of
4 all of their old cast-iron and unprotected pipe. At the top
5 of that list was Baltimore, Maryland, and that in 2014 it
6 was on track to finish theirs in about 140 years. And at
7 the end of the spectrum with Cincinnati, all right, where
8 they're basically done

9 All right, so we used this kind of information to
10 do our last study that came out in the fall, and that was to
11 specifically look at cities that had close to or had
12 replaced these old pipes. So we looked at Cincinnati, Ohio,
13 we looked at Durham, North Carolina, two cities that had
14 completed their pipeline replacement programs. We also
15 mapped Manhattan. What we found was that 90 or 95 percent
16 fewer leak densities in the cities with the pipeline
17 replacement programs, compared to both Boston and Washington
18 D.C., and to the new data that we obtained from Manhattan.
19 So these programs really do work.

20 So all in, just saying, and this slide really
21 targets downstream emissions, it really is more focused on
22 the eastern half of the U.S., but I think most of these
23 justifications apply to other aspects of methane. So these
24 people pay a couple billion dollars a year for the gas that
25 leaks out of pipelines. Pipeline replacement repair creates

1 jobs. In very rare cases there are accidents. Most of
2 these fatalities, of course, are from contractor error or
3 homeowner error, somebody is a hole in the ground and
4 forgets to check.

5 But we other rare cases where things go wrong.
6 Air quality and health interactions through, you when you
7 reduce the sources of methane and ethane to the atmosphere,
8 in many situations you're reducing other things we care
9 about, as well. And then finally, greenhouse gas emissions
10 and climate change.

11 So I'm glad to be here. As I said, I have a lot
12 to learn about California. I'm looking forward to working
13 with some of you, and thank for your time.

14 MS. TEN HOPE: Thank you. Questions for Rob?

15 MR. JACKSON: In my group in class we call on
16 people. I'm not like Adam, I don't, but I don't know any of
17 your names. See, that's not true.

18 MS. TEN HOPE: Thank you.

19 MR. JACKSON: Okay. Thank you.

20 MS. TEN HOPE: Do we have questions on the web?

21 All right.

22 Do you want to make the announcement?

23 MS LOZO: It's 12:15. Yeah, we're very close to
24 on time. So lots of very good information. Let's do lunch
25 until quarter after 1:00

1 Oh, do we question? Sure, Ramon, question?

2 MS. TEN HOPE: Come on up to a microphone.

3 MR. ADDY: Sorry about that. I thought you would
4 take questions for the panel generally. McKinley Addy with
5 a company called AdTra. And my question, Ramon, is about
6 your 2.4 percent estimate of the upstream methane emissions.

7 If the upstream leak control regulations and the possible
8 mitigation technologies that might be implemented are looked
9 at, by how much might that 2.4 percent estimate change?
10 Just, you know, I thought.

11 MR. ALVAREZ: That's a difficult question because,
12 A, I'm not 100 percent sure how the newly-passed regulations
13 sort of apply throughout the supply chain. So I've just
14 been focused on the science, not so much the policy. But
15 the goal, the federal goal, and I think I heard the
16 California goal is the same, is to reduce emissions by 40 to
17 45 percent. So as a starting point I would answer your
18 question by saying that the current goal is to cut the
19 emissions across the supply chain by 40 to 45 percent.

20 Does the current adoption to get you there? I
21 guess I'm going to be a little provocative, maybe not so
22 provocative and just say I don't think so because the
23 federal rule that just got adopted only applies to new
24 sources. So eventually, when all sources out there comply
25 with these rules, all new sources built after today, right,

1 you will get lower emission rates over time. But right now
2 you have all these existing sources that are responsible for
3 the admissions today. We need to bring those emissions
4 down, the you only do that with regulations that apply to
5 existing sources. So those are missing.

6 And so while we have a goal to maybe cut emissions
7 in half, the current rules in the books at the federal level
8 are not going to get those. Some states have rules for
9 existing sources and those are going to be a different
10 story.

11 MR. ADDY: But you might agree that those
12 regulations and mitigation Technologies could reduce that
13 2.4 percent estimate?

14 MR. ALVAREZ: Yes.

15 MR. ADDY: Okay.

16 MR. ALVAREZ: Yes.

17 MR. ADDY: All right, if I might just make another
18 comment for, I think it's Robert Jackson. It's not a
19 question for him as much as I was intrigued by his
20 observation that the leak rates from oil and condensate
21 plays might be as high as 20 times the leak rates from dry
22 gas plays. Is that a correct characterization of what I
23 heard?

24 MR. JACKSON: Close but not exactly. So the
25 percentages that I was talking about, I think I was quite

1 clear about, were not the volume of gas leaks into the air
2 but the number, the proportion of sites. So that doesn't
3 tell you that the admissions would be, you know, 20-fold
4 higher. If the emissions were the same on average from
5 those sites, then you might draw that conclusion. But we
6 don't have the data to say that.

7 MR. ADDY: But the point is that you are observing
8 somewhat higher nothing leak rates from oil and gas or oil
9 and condensate plays than dry gas wells. The reason that
10 I'm sort of trying to highlight this is I'm wondering
11 whether that might be something for the Air Resources Board
12 staff to pay attention to as they consider the updates to
13 the OPGEE model in characterizing the carbon intensity of
14 crude?

15 MR. JACKSON: Yeah, I agree with. I mean, I would
16 say more than somewhat higher. I mean, they were
17 substantially higher than the proportion, you know,
18 different somewhat across the plays. But in all of the oil
19 and heavy condensate producing plays, they were
20 substantially higher, at least in terms of the number and
21 proportion of facilities that we observed. That's where I
22 would start if we were putting additional effort here in
23 California would it be to, you know, focus on those, at
24 least initially.

25 MR. ADDY: Thank you. Just again, if Elizabeth is

1 here and Adam is here, I'd just like to highlight those
2 observations. Thank you.

3 MS. TEN HOPE: Do we have any final questions for
4 a panel?

5 MR. ZENG: I have a follow-up question the number
6 of observed. Is that based on -- what method was used to
7 determine those tanks linking? Is that based on the IR
8 camera or based on something else?

9 MR. JACKSON: No. So that survey of the 8,200
10 well sites was based on the IR camera from helicopters. But
11 as that has come up before, that's a mix of not just
12 methane, that's a mix of the heavier hydrocarbons, as well,
13 which actually puts out more than -

14 MR. ZENG: Which is the reason my question relates
15 to, is we have done pretty comprehensive research on the
16 relative basically sensitivity between methane and other
17 compounds. So afterwards we exchange some -- we actually
18 put that on the website so that you can check the relative
19 sensitivity among different compounds. But propane, for
20 example, if kind of the presumption is that the well
21 contains more or other C2 through C4 or 5, it's generally
22 going to have a much more visibility in IR camera compared
23 to methane. Methane is roughly about a third on the volume
24 metric basis. But if on the mass basis, then it makes up
25 because then the methane molecular weight is smaller. So if

1 you go back to the mass basis then you've got a different
2 conclusion. But on the volume metric basis, definitely
3 methane is not as visible as propane or anything.

4 MR. JACKSON: The company's specs are quite clear
5 about that, by the way.

6 MS. TEN HOPE: Sir, would you identifying yourself
7 for -

8 MR. ZENG: I'm Yousheng Zeng with Providence.

9 MS. TEN HOPE: All right, well, I think now we'll
10 take our lunch break to 1:15. And then this panel will
11 resume.

12 (Off the record at 11:59 a.m.)

13 (On the record at 1:17 p.m.)

14 MR. CROES: Afternoon everyone. I'm Bart Croes.
15 I'm the Research Director at the California Air Resources
16 Board. And I'm very pleased to the start of the session
17 which continues our morning discussion of various methane
18 measurement technologies to try to understand large
19 emissions sources, as well as individual source. So we have
20 a very good group of speakers this afternoon, really the
21 best in the country at what they do.

22 And we're going to change the format just slightly
23 from this morning's. We're going to reserve all our
24 questions to the end, and then hopefully have a longer
25 discussion to get into the issues.

1 So our first Speaker this afternoon is Dr. Steve
2 Conley who holds a PhD in Atmospheric Science from UC Davis.

3 So Steve's been working in this area as a project scientist
4 and has started his own company, Scientific Aviation. So he
5 actually flies planes through methane clouds and is very,
6 very instrumental in work here in California on Aliso
7 Canyon, as well as other gas reservoirs in the state, and
8 transmission lines. So very pleased it's easier to share
9 information with us.

10 Steve?

11 MR. CONLEY: Well, hello. So we've been, for the
12 last few years, flying over sort of a combination of
13 different types of oil and gas sources from sort of a large
14 regional scale to point sources to pipelines. And so what
15 I'm going to talk about today is sort of the culmination.
16 So basically there's two things that we've been trying to
17 do, at least with our plane. On the one side we're trying
18 to do, if we don't know what we're looking at, like a
19 pipeline, where we're just attempting to locate leaks, so
20 that's our first mission is whether it's a pipeline or an
21 oil and gas field is can we just find where leaks are? And
22 the second one is if we have a known leak, can we figure out
23 what the leak rate is? So those are our two goals that we've
24 been using with the airplane. And this is the one place
25 that I kind of been starting everything that we sort of

1 think about it in terms of our goals, is that catastrophic
2 failures like Aliso Canyon are going to happen. And it
3 doesn't matter how careful we are, I mean, it matters in
4 terms of how frequently they happen. But no matter how
5 careful we are, mistakes will happen, earthquake happen,
6 these catastrophic failures are going to happen.

7 And so the question is how are we going to
8 respond? How fast can we respond and how well?

9 So this is the aircraft that we use, or of the
10 two. These are Mooney. We have two Mooney aircraft. And
11 they were chosen for several reasons. One of them is that
12 they actually have dual electrical systems which makes
13 running these science instruments on board nice because you
14 don't get interference from the engine or engine start. The
15 other one is that they can fly high, they can fly low, and
16 they can fast or slow. They're sort of very versatile
17 airplanes. So we've got these ones outfitted. They're all
18 outfitted the same way, that they can measure the wind. So
19 if you want to talk about an emission rate or a flux you
20 have to know the wind, so both of them can measure the wind.
21 And then they can carry a variety of equipment.

22 So normally we'll carry, for these oil and gas
23 projects, we carry a Picarro methane analyzer and an
24 Aerodyne ethane analyzer. We carry them together. And you
25 can see on the wing there, that little red box indicates

1 these air inlets that we've got sort of out away from the
2 exhaust. So the idea is that they're not corrupted by
3 airplane exhaust.

4 Here's the sort of the big picture to me of how to
5 respond to these events. So there's essentially four
6 aircraft, at least that I know of, that are always
7 configured to handle this type of event. We have two of
8 them, one in California and one in Boulder, Colorado. On
9 the west coast here, Laura back here has the NASA alpha jet,
10 just figured similarly. And then at Purdue, Paul Shepson
11 has a Twin Duchess. These circles indicate the single
12 flight radius for each of these aircraft. And what see from
13 this is that in one of flight one of these aircraft could
14 get anywhere in the country, with some small exceptions. In
15 a flight-and-a-half you can cover the entire country. So
16 the idea being if you have an event like Aliso Canyon, the
17 BP oil spill, anything like that and you need to know what's
18 going on quickly, in four hours you could have an answer,
19 pretty much anywhere in the country.

20 So the basics of what we do is just a simple what
21 came in, what when. So the cylinder here is like we're
22 basically we're drawing around a source. So the little red
23 smoke cloud coming out is some source that we want to
24 measure. And essentially all we're doing is calculating the
25 difference between what came out of our cylinder and what

1 went into it. And so to do that we will do one of two
2 different types of lights that also you shortly.

3 So these are the two flight type that we do. And
4 basically our ideal flight is to do these circles where
5 we'll fly something like 30 circles around a facility at
6 different altitudes to capture -- we basically construct
7 that cylinder you saw on the previous slide. And the goal
8 is that we're capturing what came into the cylinder and what
9 went out of it, both sides. We have as many up wind
10 measurements as we do downwind as we do crosswind. The idea
11 of the circles is that we get everything.

12 Unfortunately, we can't always do circles.
13 Sometimes there's other neighboring sources. Sometimes
14 there's terrain. Aliso Canyon, for example, which is what
15 is shown on the left up there, the terrain was just, you
16 know, thousands of feet over a few hundred meters. And
17 there's no way to do a circle around that. So in situations
18 like that we sort of revert back to the old style of just
19 doing downwind transects. And if we have our choice we do
20 the circles. If we are forced by terrain we do the downwind
21 transaction.

22 So this is what we did at Aliso Canyon. And this
23 particular method that was in the science paper shows three
24 different distances of transects which we were just doing to
25 compare. But where you see the sort of density of our

1 transects is where most of them we're done. And it using
2 these transects basically what we do is we simply integrate
3 how much methane came across our flight path. And we have a
4 waiver from the FAA that allows us to fly down as low as 200
5 feet. And so what we do is we simply start out low and we
6 keep climbing up until we stop and see nothing or stop
7 seeing a methane gradient anyway.

8 In this particular case, I'm sure everybody's
9 heard about the sort of shock that we had on the first
10 flight that, you know, for most or all of the other flights
11 that we've done over oil fields where we typically see
12 methane that goes up to four or maybe five parts per
13 million, and on our first flight at Aliso Canyon we saw 70.
14 And just the sort of moment of disbelief at what we were
15 looking at. We also, on some flights, including one of the
16 Aliso Canyon flights, we took whole air samples. And we'd
17 eventually take a canister up and collect for later analysis
18 where you can get dozens of different chemicals. And then
19 you can sort of do like a kind of Tracer mentality, doing
20 ratios to get fluxes of other chemicals, as well. And
21 typically each of these measurements, whether it's a circle
22 are these transects, takes about an hour. So to get enough
23 data, enough statistics to be believable, you're going to
24 spend about an hour on the site.

25 And this is what one transect of Aliso Canyon

1 looked like. So what you can see is that as we're coming --
2 in this case we're going from west to east. And what you
3 can see is that as we get into the plume you're seeing both
4 methane and ethane spike almost together, and methane going
5 up from something like 2 to something like 18 parts per
6 million, and then coming back down. What so what we do is
7 integrate how much of that gas we sort of saw in that
8 enhanced area. And just as a confirmation, the bottom of
9 plot here shows where the wellhead is. There's a processing
10 plant and a landfill. And as expected, you the enhanced
11 plume, the red, right downwind of SS-25, the well site. So
12 just sort of something to double-check that what you're
13 seeing is coming from where you think it is.

14 And then this is what you see in the vertical when
15 we take all those legs and put them together, you see a
16 situation where sort of toward the bottom you get your
17 largest flux, and then as you go up eventually you get to
18 zero. And once you get to zero is when you can stop
19 climbing. And so that's what we did on all these flights,
20 we would just keep climbing up until we got enough sort of
21 above that zero line that we felt comfortable, that we
22 weren't missing anything above.

23 This shows a comparison of all the different
24 estimates that have come out to date. So in this plot, the
25 top plot, the red line is sort of what we published in the

1 science paper. The yellow lines are -- Aerodyne has been on
2 site since, I think it was December 19th, and our first
3 flight was November 7th. And so the yellow dots or yellow
4 squares show the Aerodyne estimates for that. They
5 basically bracketed our flights where they would be there
6 for the day before, the date bob, the day after. And they
7 got somewhere around 500 transects. That's about to be
8 published by Scott Herndon. And so as you can see, there's
9 no are somewhere around ten percent below ours. And then
10 the two blue dots, this was a paper that just came out last
11 week from Dave Thompson, and so they had two flights on
12 January 12th and 14th. And so I just superimposed them on
13 this also. And those were also within something like 12
14 percent of the numbers that came out of the airplane.

15 And then the other thing that I sort of thought
16 was instructive to compare, so there's three estimates of
17 the total emission over the whole 112 days, that's bottom
18 plot. The red line shows where we had to put it from
19 integrating that line up at the top at the 5 billion cubic
20 feet or 97,000 metric tons. And then the Aerodyne number is
21 86. And SoCal Gas actually did an inventory shut in and
22 they came out with 84,000. And so all these numbers agree
23 within 13 percent. So we feel fairly confident about that
24 number.

25 The one sort of the unknown in this whole thing is

1 we didn't get there until two weeks after the league
2 started. And so there's this period from October 23rd to
3 November 7th where there is no data.

4 And so what we've done is we've assumed that the
5 first three points before SoCal Gas started draining the
6 reservoir, we assumed that those represent a good average,
7 which is totally reasonable. But before November 7th there
8 was exactly one kilotemp (phonetic), and that was the day
9 after the leak started, so October 24th. So it's reasonable
10 to think that from October 24th to November 7th there's no
11 major changes, but obviously that's not something we know
12 for sure. So that's an assumption that we've made, that we
13 can average those and sort of extend that back in time to
14 get the total. And the fact that it's fairly close to what
15 the SoCal Gas inventory suggest does give us a little bit of
16 confidence, but obviously there's still uncertainty.

17 So the next thing we talk about is our standard
18 circle pattern which is, like I said, our preferred method
19 of measuring these. And this is a site that you're seeing
20 on the right near Denver Airport actually. And what we do
21 is we'll select an optional radius which is based on a
22 couple of things. One is: What's nearby? So we want to
23 make sure that we don't include any other sources in our
24 flight path. And, two, we want to make sure that we're far
25 enough out, so this is based on the wind speed. If we're

1 into closed we're going to get into a situation where will
2 see the plume once and we'll miss it once.

3 And I'm sure you saw in the infrared videos from
4 the previous slides that close in this methane plume looks
5 more like a snake than a large cloud. And so if we are in
6 that close it's going to be easy for us to hit and miss. So
7 we try to get out far enough that we get to where we're
8 going to see it every time, but still in close enough that
9 we get a big enhancement and we don't include other sources.

10 So basically what we do is we go circles, starting as low
11 as we can, and we go until we stop seeing it, higher and -
12 higher.

13 And then this is what we kind of hope to see. So
14 when we sort of do our quality check and want to see that,
15 A, the enhanced area is downwind of the facility. We want
16 to see, B, in it that top right plot, we want to see that
17 when we got up to a certain point we stopped seeing a
18 signal. And then we calculate, the bottom right shows the
19 variability in methane is a function of altitude. And we
20 want to see that when we got to our top altitude we don't
21 have any more variability. And that tells us that, A, we
22 got high enough, that we included all of the emissions from
23 it and, B, what we were seeing was actually from that
24 facility and not just some upwind signature.

25 So this was a test that we did with Aerodyne where

1 they actually released ethane. And we selected this site
2 that was like 100 miles northeast of Denver, so it was sort
3 of out in the middle of nowhere, where there were no sites
4 nearby, so kind of ideal test case for us. It was also one
5 where we can fly as low as we wanted because there was no
6 houses nearby. And on that particulate site our, you know,
7 estimate came in with and something like seven percent of
8 what they were releasing. So sort of a confirmation of this
9 method which we'll be describing. The circles' method will
10 be described in a paper that's coming out hopefully in the
11 next few weeks.

12 So that's the first half of what we do, which is
13 measuring the leak rates.

14 The next one is trying to use our technology to
15 detect water leaks are. And this was especially useful. It
16 was actually initially started in the partnership with PG&E
17 when we were trying to fly downwind of their Pipelines to
18 see what we can see from an airplane. And so this plot
19 shows one of these tests that we did down in Texas,
20 actually, in Mineral Wells along and an enbridge pipeline.
21 And what you see is the locations where we saw spikes are
22 indicated sort of off of the pipeline. And then we
23 backtrack using sort of the wind variability to give us a
24 cone of uncertainty on the pipeline of where it came from.
25 And that ended up being a very successful test. And then

1 able to see 80 percent of the leaks that we needed to find.

2 So the big question that we always ask and
3 everybody asks us is if we fly a pipeline and we don't see a
4 leak, does that mean there isn't one? And so to answer that
5 what we looked at is how many times do we have to fly or
6 make a pass before we can say with some confidence? In this
7 case we chose a 95 percent confidence interval, that if we
8 didn't see an enhancement, it isn't there.

9 And so what we did is we went up to a facility
10 north of Sacramento that we've measured a bunch of times,
11 and so we know the size of it. We know it's kind of a
12 moderate 30 kilogram per hour leak, sort of like what we see
13 on pipelines often. And so the question was if we had a
14 leak of that size and we flew a bunch, what kind of
15 statistics did we see?

16 So we flew 112 laps around this facility. And in
17 the end the results were encouraging. We detected an
18 enhancement that would have triggered our spike algorithm on
19 75 of the 112 laps. So given that, that means that if we
20 flew three passes along any pipeline and we didn't see any
21 enhancement on any three, we can say with 95 percent
22 confidence that there's nothing there. So it was an
23 encouraging result that this does work, as long as you're
24 willing to make three passes.

25 So a couple of conclusions from this. One of them

1 is on situations like Aliso Canyon, BP oil spill, anything
2 where you need a quick number on what the size of the
3 magnitude and what's the scale of the problem, aircraft are
4 tough to beat. You can get them there in a few hours. If
5 you're trying to locate leaks, we can do flying down wind of
6 a suspected source. After three negative indications we can
7 be 95 percent confident that it's not there.

8 In terms of estimating an emission rate, we can
9 use either of our techniques, the circle or the lines. The
10 sources tend to give us better numbers, but the lines are
11 sometimes forced on us. And that when sufficiently sampled
12 these methods have been shown to be accurate to better than
13 20 percent. And it seems like that's just getting better as
14 we continue to refine these methods.

15 (Applause.)

16 MR. FISCHER: Thank you. I know we are all dying
17 to ask Steve what it's like to fly through heavy doses of
18 mercaptan and go around to 30 times in a circle.

19 But we're going to hold off questions until the
20 end and welcome our next speaker, Dr. Mark Fischer. So Mark
21 has a dual appointment. He's a Staff Scientist at Lawrence
22 Berkeley National Lab, an Associate Researcher at UC Davis.

23 So Mark works on identifying and solving energy and climate
24 problems. And he's done a lot of the seminal work here in
25 California on understanding greenhouse gas emissions and

1 comparing that with -inverse modeling of atmospheric data.

2 So welcome, Mark.

3 MR. FISCHER: Bart and all, thank you for having
4 me. I'm going to tell you a little bit about work we've
5 done very recently, sort of in the last two to three years
6 with Energy Commission support -- oh, I have a thing here --
7 a brief outline, the problem overview. Natural gas methane,
8 you've heard a lot about it. Probably know a fair bit
9 already. Some work that we've done on bottom-up estimates
10 that will perhaps surprise or be interesting. And then most
11 of the talk is about measurements that we've been making for
12 the last couple of years and a collaboration with many
13 groups. This will include regional natural gas methane
14 emission estimates for the San Francisco Bay Area. Really
15 the second part will be summarizing the airborne
16 measurements that Steve and Ian and their students have been
17 doing at natural gas facilities. I'll also say something
18 about what we called the LVL plume integration method. This
19 is essentially a ground-based approximation of what Steve
20 does with an aircraft, but looking at very small spatially
21 localized leaks. And then work on residential buildings and
22 appliances.

23 The big picture of this talk really is that
24 everywhere we've looked we found measurable and quantifiable
25 natural gas methane emissions across the natural gas sector.

1 In terms of our collaborators, there's a very long list. I
2 just want to call out the UC Davis Group, the UC Irvine
3 group, the Bay Area Air Quality Management District, the
4 CEC, ARB, NOAA. There have just been -- we could not do
5 this by ourselves. And this something that's a community
6 effort. This particular work was largely supported by the
7 Energy Commission.

8 In terms of a problem overview, you've already
9 heard, natural gas provides a big fraction of California's
10 energy. It's a very potent greenhouse gas. Now looking at
11 ways to (indiscernible) emissions, and the first step is
12 understanding where they're coming from. And I think we've
13 heard really good -talks already about a larger scale of
14 this problem.

15 We've attempted, in this project, to go after each
16 of the different what I would call subsectors of natural
17 infrastructure in California and just start to poke at the
18 problem. We haven't finished it.

19 In terms of a bottom-up estimate, we in sort of
20 2012 through 2014 we're constructing methane emission maps,
21 I will call them a model, based on activity data and
22 emission factors largely produced by the Air Resources Board
23 and the CalEPA. We were doing this for the regional scale
24 estimates. And we constructed something in 2013-14 that was
25 specific to natural gas, looking at where the wells are, how

1 much they are likely to be emitting, transmission,
2 compression, storage, distribution. And we added this
3 consumption sector which we posited was potentially
4 important. The total in that estimate was about 300
5 gigagrams of methane a year with some large uncertainty
6 bounds, perhaps they should even be larger.

7 We found that comparing with some top-down studies
8 that we're done during the Calnex campaign, and also by the
9 Caltech group, that our bottom-up, at least for SoCAB, is
10 not too high. It's probably too low.

11 We've very recently started looking at the USEPA
12 revisions to their emissions for the continental scale U.S.
13 And we found the their estimates increased production
14 emissions and decreased distribution emissions. I'm not
15 convinced that's right for California. I'll give some
16 evidence for what we're starting to see. And then I guess I
17 would say, you know, the bottom line here is natural gas is
18 not the end of the story for methane, it's sort of a tip of
19 an iceberg, but we've got a lot of cows -and landfills.

20 To give you a very quick overview of where we
21 believe natural gas methane is coming from, you can see on
22 the lower right, Sacramento Valley, the San Francisco Bay,
23 San Joaquin Valley, the Central Coast, South Coast Air
24 Basin, and San Diego, with differing contributions that may
25 be sort of hard to see from where you're sitting. The red

1 bar is production. Green bars, processing. Blue bars are
2 transmission. And then the purple bars at the top, violet
3 bars at the top, distribution and consumption. And you can
4 see that in some areas, particularly the ones with lots of
5 people, there's lots of distribution associated with that,
6 and that's not just the pipes. That's also all the end use.
7 Even after the meter we believe there are -leaks.

8 Now how do we actually go about measuring this?

9 We've essentially adopted or developed techniques
10 that are trying to be specific to the particular spatial and
11 temporal scales that we're trying to study. At regional
12 scales were using tower measurements and atmospheric
13 inversions, and I'll say a little bit more about that later.
14 What it boils down to is making measurements of how much
15 extra methane there is in the atmosphere above California
16 relative to the air flowing into California, and then using
17 a meteorological model to say how much would we have to add
18 in different places to give us the signals we have observe?
19 Now that's great at a regional scale. It takes a lot of
20 averaging. There's a lot of noise in that process. But
21 we'd like to know really more in detail where are the
22 methane leaks occurring.

23 And while we cannot attempt to do this with the
24 same kind of sort of spatial resolution that the imaging
25 techniques are now capable of, we have used the readily

1 quantifiable measurements from Steven's work to look at a
2 host of what I would call sort of isolated large facilities.
3 And then scaling down further, we've looked at individual
4 leaks in either roads or fixtures and urban areas with this
5 mobile plume technique that I'll say a little bit more
6 about, and Yu spoke about this morning. Last, we looked at
7 buildings, and I will say something -about that.

8 Oops, too quick.

9 So this is work that we just recently completed
10 and we're trying to get into a paper, so it's, I would say,
11 beyond completely preliminary but it's certainly not done
12 yet. In October through December we sampled at six Bay Area
13 collaborative sites. Some of these were sites that we
14 operate as part of sort of the California-wide network.
15 Some of these were very impromptu. Some of these, and I
16 have to call out to the Bay Area Air Quality Management
17 District, thank you to all of the folks who contributed to
18 that. We made a combination of methane, ethane, pentane,
19 toluene, CO, and other VOC measurements at each of these
20 sites. At the Livermore site operated by the Bay Area, we
21 had continuous VOC measurements, and we added a methane
22 analyzer. At the other sites we collected daily samples
23 which were analyzed for some of the sites at NOAA -and some
24 of the sites at UC Irvine.

25 We then combined with that mixture of methane and

1 other VOC data with previously measured ratios of VOC to
2 methane compositions, either for PG&E's natural gas or for
3 mobile sources, refining, and made an estimate of what the
4 emissions distribution or the subsector specific emissions
5 were. We started with a bottom-up model for the Bay Area
6 where we constructed something at one kilometer. We mapped
7 out where every landfill, every dairy that we could
8 identify, and there are some gaps there, are, where the
9 roads were, where the storage facilities are, et cetera, et
10 cetera, and where the population is, and that's an
11 approximation here. We assume that distribution emissions
12 essentially scale with population. It's not perfect but
13 it's a start.

14 And the bottom line here is that natural gas is a
15 small part of Bay Area total emissions, but we wanted to go
16 after it. And using the multiple VOCs we have a handle on
17 it. What we did was to construct essentially what -- those
18 of you who have played with inversions have some sense of
19 already - we're effectively comparing the concentration
20 enhancements above background, that's on this equation, the
21 left-hand side, with what we would expect based on emissions
22 scaled by scaling factors which are on the far right, with
23 assumptions about how much each of the different sources
24 contributes a given amount of VOC and a given amount of
25 methane. We then did what's called a Hierarchal Bayesian

1 Inversion which simultaneously found the best solution for a
2 whole host of actors, including the best estimates for those
3 VOC ratios.

4 And in the bottom plot what we show is a figure
5 showing biological natural gas and petroleum emissions,
6 either in the prior in red or in the green, blue or purple,
7 where green, blue, and purple are using successively more
8 information from the VOCs. In other words, the first one is
9 only using a ethane. The next one is using a ethane and
10 pentane. The last one is using ethane, pentane, and
11 toluene. And really we get most of the bang out of this
12 from using just ethane. But the toluene and the pentane
13 help us constrain the petroleum emissions. This works well
14 in the Bay Area because we don't have any large petroleum
15 production. We don't have any petroleum production in -the
16 Bay Area. We have some refining and we have mobile sources.

17 The bottom line here is that when we put all of
18 this together we end up with emissions from the Bay Area
19 that are roughly .3 to .5 percent of natural gas consumption
20 in the Bay Area. And that is actually on the low side
21 compared to what Dr. Alvarez mentioned this morning. And
22 I'm sort of interested to see whether that's reproducible.
23 But I'm also fairly confident that it's not inconceivable.
24 It's a reasonable sort of number.

25 I would close this little section of the talk by

1 saying this approach, I will argue, is amenable to any
2 location where you want to do a region estimate, but what
3 you you'd got to do is combine methane and other tracers.
4 And in principle, with other tracers you could even
5 distinguish some of the different biological sources,
6 landfills from dairy, et cetera. And Allen Goldstein, for
7 example, from UC Berkeley has done some work in that area.

8 Now we then tried to go and pinpoint facilities
9 within California. And here we have looked at first a
10 production field in the southern San Joaquin Valley. Steve
11 and I flew an education in Mark's air sickness in April of
12 2014. And after many, many loops, and I won't go into more
13 detail, we got a reasonably good measurement of the Belridge
14 South Petroleum Production Field. And Steven and Ian's
15 group made essentially this Gauss theorem divergence
16 calculation of the methane emitted into that control volume.
17 And it came out fortuitously similar to what one would
18 expect from the annual average in our bottom-up. I don't
19 think that's something that is necessarily -- no, I will
20 just say no, it is not proof that the emissions from that
21 field match the bottom-up. It is just, I think, a
22 fortuitous example.

23 We have flown other places and found emissions
24 quite variable. In particular, we've done some work at the
25 Kern River which is really still preliminary which showed

1 quite variable emissions depending upon the well completion
2 activities that appeared to be occurring on the ground.

3 So continuing, we've gone and started looking,
4 this is actually much before Aliso Canyon, we went and
5 started looking at natural gas storage facilities in sort of
6 the Sacramento, Bay Area, and north up into the Sacramento
7 Valley. We observed four sites three to eight times, and
8 four others more recently. The emissions range from
9 essentially non-detection at some of the sites to more than
10 400 kilograms of methane an hour at one of the others. The
11 median emissions, if compare them with the voluntary
12 reporting for storage facilities, is roughly one to two
13 times the annual voluntary reporting.

14 And so I would say, if you look at this slot on
15 the bottom right, many of those are below what one would
16 expect for sort of the average storage facilities. But we
17 have at least one where there's a pretty clear detection.
18 And we're starting to work with the utility on measuring in
19 more depth why that's occurring, and perhaps, if we could be
20 so fortunate, how to mitigate it. I'd note that the ethane
21 to methane is pretty clearly indicative of natural gas.

22 And I would close this section on storage by
23 saying that single-point failures carry enormous risk. I
24 hadn't really thought beyond the San Bruno incident of 2010
25 until Aliso happened. But I think that a take-home message

1 here which everyone might absorb and some might agree with
2 is that whenever you have a facility that is handling an
3 enormous amount of gas, that when you have either an
4 operator error or some failure of the infrastructure, it can
5 lead to a very large emission in a short time just because
6 the facilities are handling so much. And that's not a
7 negative thing. I mean, this is an enormous public service
8 that's being provided by the facility. But we have to have
9 a way of sort of providing more rapid response, and Steve
10 spoke to that. I have another idea for that which I
11 mentioned in -the recommendations.

12 Next, we've made some preliminary measurements of
13 petroleum refining. This is in the Sacramento River Delta.
14 We have the refineries three to five times. The emissions
15 varied from site to site and between the different flights,
16 but with quite significant emissions in several sites at
17 several times often onward or an order of magnitude greater
18 than the voluntary reporting for those refineries, I think
19 this deserves a little bit more attention. The methane and
20 ethane here was not always characteristic of pure natural
21 gas. It had heavier component. And so we think that that
22 is a mixture of either natural gas -leakage or some
23 industrial process.

24 Last, we've been looking at very localized
25 emissions. And this is something that Rob and Ramon spoke

1 about earlier. When you drive around urban environments,
2 wherever there's natural gas pipelines and, now I'm going to
3 argue, any form a sort of natural gas use, there's a
4 potential for a leak. I'm embarrassed to say that when I
5 took a sniffer to my house we found ten leaks between the
6 meter and all the different appliances because the gentleman
7 who owned the house before us believe that he could do all
8 of his plumbing himself. And I'll speak to sort of the
9 house issue later.

10 But what we've done here is to construct a car,
11 which is in the upper right there, with a tall mast on it.
12 So because we can't fly our car up and down, think about
13 that, we instead put inlets on the mast and we drive down
14 the street slowly, the wind carries methane plumes across
15 the motion of the car. And this lower plot shows a
16 concentration versus height diagram. And what you can see
17 is the purple in sort of the center of the plot is where the
18 highest concentration occurs, and it drops off above. And
19 so in that particular fortunate case we were able to capture
20 most of the methane. And when we're able to do that, and we
21 budget using these measurements, we can then, using the same
22 kind anemometry flux product calculation, estimate the total
23 amount of methane being emitted in a particular plume when
24 the wind is reasonable. And using a c-13 analyzer, thank
25 you Picarro, we are able to identify it as unambiguously

1 natural gas when it has the right to C-13 signature.

2 We've done this test set up at many times and
3 believe that we can get within about 30 percent accuracy on
4 emissions in three passes. It's not perfect but I think
5 it's, you know, an essential step to actually getting
6 quantitative information. And so we, you know, have gone
7 this way and terms of developing a measurement technique.
8 I'll give you some examples of how that -works.

9 We started these what we call local plume
10 measurements during a visit to the Bakersfield area and
11 2013. And here we surveyed about 80 kilometers of
12 Bakersfield public streets and detected 20 large on order
13 PPM or greater leaks above background, that is the plume was
14 enhanced relative to the background. Forty percent of those
15 total emissions from those leaks -- am I out of time? This
16 says I have four minutes. Oh, well, then I really got to go
17 quick. I thought this was before questions. Okay.

18 Forty percent of the emissions were within half a
19 kilometer of a large distribution pipeline that, you know,
20 was available in maps. The total immigration is sort of a
21 round number indicating that about a third of a percent of
22 the gas consumed in Bakersfield might be leaked in those
23 distribution-related leakages, sort of similar to our
24 bottom-up.

25 We then have also done this for capped wells in

1 the Sacramento River Rio Vista area. We haven't looked at
2 very many. We did this sort of as a what can we see
3 experiment. We looked at 13 wells and found we could
4 measure about four of them pretty clearly. Two of them, we
5 didn't see anything, so zeroes, non-detect, very clear non-
6 detect. And then seven sites were not accessible to the car
7 under the wind conditions and the public -roads. I look
8 forward to being able to obtain permission to drive onto
9 private land and actually measure more of these, but -that's
10 something that needs to be arranged.

11 We've gone to, in contrast to Bakersfield, I did a
12 relatively short drive, 30 kilometers, around the Berkeley-
13 Oakland area. And in that particular drive I found very
14 small enhancements above background in general. That
15 particular part of the East Bay appeared very clean. The
16 leaks were measurable, very small, you know, sort of third
17 of a gram per hour equivalent. And where we found the
18 bigger emissions they were occurring where there was food
19 service operations or sort of other, sort of I would call it
20 commercial scale where there was more gas usage.

21 Finally, I'm not going to spend that much time on
22 this because Yu spoke about it this morning, we've measured
23 on order of ten homes using essentially a mass balance
24 technique where we depressurize the home, knowing the flow
25 rate and the increment of methane in the house relative to

1 outdoors can estimate the amount being added by the house,
2 and found that that's equivalent, in the houses we've looked
3 at so far, a small sample of about 2.2 percent of the house
4 consumption. We're now -working on a much larger study with
5 a subcontractor

6 Finally, we have looked at combustion appliances.
7 And I was surprised, and those of you who have on-demand
8 water heaters might be surprised to hear that when you turn
9 on that very concentrated flame in your on-demand heater you
10 get a fair amount of methane, and much less so from cooktops
11 and clothes dryers that we looked at so far. We're going to
12 do this much more exhaustively and we'll have a much better
13 number for you in about a year.

14 In summary, methane emissions are, as far as we
15 can tell, present across all subsectors of the natural gas
16 system. The regional inversion suggests on order of .3 to
17 .5 percent of the consumption. Production fields, very
18 limited measurements were roughly consistent with our
19 bottom-up. But there were some measurements, particularly
20 when we could see that there was wells being completed where
21 the emissions were higher, that should not come as a
22 surprise.

23 Gas storage facilities were generally roughly
24 consistent with the reporting, with a little bit of an
25 exception. Petroleum refining appeared to be considerably

1 higher in the spot measurements we did. This I think comes
2 back to the point that when natural gas is not the focus of
3 your activity, and methane is not the focus of your activity
4 industrially, there is more likelihood that you're going to
5 get emission just because it's not, you know, considered the
6 product.

7 With respect to recommendations, I know this is
8 not surprising that I would say this, but I think we need to
9 have concerted tower measurements across California that
10 combine VOC and methane in a concerted fashion so that we
11 have a really good handle on where the methane is coming
12 from. And I would follow that by saying if we're going to
13 try to fix it, those tower measurements are not enough.
14 They're enough to say we really have fixed it, but we've got
15 to start a campaign. And I think Bart -- I mean, the Air
16 Resources Board and the CEC are starting this now with plume
17 imaging.

18 And the next step beyond the plume imaging, that I
19 think, Chip, you're going to talk about, will be these mass
20 balanced flights that Steve has been doing because I think
21 that there is still some work to be done before the plume
22 imaging is really quantitative, except for large sources.
23 And the mass balanced is unequivocally quantitative. I will
24 also argue that for the high volume, high throughput, high
25 value facilities like refineries, it may be a useful thing

1 to have onsite continuous monitoring of emissions. And I
2 think the ARPA-E program that was discussed this morning
3 will go some distance in making that possible.

4 Finally, energy efficiency programs are going to
5 be, I think, effective in adding better leak detection and
6 repair and revising standards guidance for low-emission
7 appliances.

8 And with, I'll stop.

9 MR. CROES: Okay. Thank you, Mark.

10 Our next speaker, and Mark has already provided a
11 good segue, is Chip Miller. So Chip is a Principal
12 Investigator at NASA's Jet Propulsion Laboratory. He
13 normally works on arctic carbon reservoir issues, but glad
14 that he's now working on California issues in a partnership
15 with the Air Resources Board and the Energy Commission.

16 MR. MILLER: Thank you, Bart. Thank you to
17 everyone for coming this afternoon.

18 So what I'd like to talk to you about is I'd like
19 to take some of the ideas that you've heard presented this
20 morning about mobile surveys, the idea that Steve was
21 talking about earlier with mass balance flights from
22 aircraft, what Mark has been talking about with inversions,
23 and put this all together in a concept that we like to call
24 a tiered observing system. So we would like to integrate
25 all of these things together to attack the methane problem

1 because the methane problem. Because the methane problem,
2 beyond just the natural gas infrastructure here in the state
3 of California, is quite challenging. It spans multiple
4 economic sectors from agricultural to oil and gas
5 production. You've got landfills and reclamation and other
6 activities going on. All of these are contributing towards
7 this signal that we're trying to unravel. And we believe
8 that because it is so complex and complicated that it takes
9 not anyone single observing system but a systematic
10 integration of all of these systems together.

11 So what I'm showing here -- and the laser doesn't
12 really work. All right, so you'll get the idea that we're
13 going to be talking about looking all the way from space
14 through with airborne measurements down to mobile
15 measurements, we'll also integrate the kind of tower
16 measurements that Mark was talking about so that we can look
17 at the methane problem from regional scales all the way down
18 to the individual wellhead, or if you like, from a very,
19 very local perspective up through the city into the state,
20 and even the national and international perspectives.

21 What we're showing here is a kind of
22 conceptualization of this over the Los Angeles area. And
23 this is the concept behind what we were developing for the
24 Mega Cities Carbon Project where we're looking at large
25 urban areas and trying to quantify the greenhouse gas

1 emissions from those. That's one of the initiatives that we
2 are working with here.

3 We also have a policy science interface which is
4 called Understanding User Needs for Carbon Information. And
5 additionally, we are working with Air Resources Board, the
6 CEC, and others here in the state of California for an
7 upcoming survey of methane statewide. And you can see that
8 each one of these undertakings is not a small effort and
9 involves many different organizations.

10 The Mega Cities Carbon Project is kind of the
11 focus for where we started thinking about the interface of
12 measurement technology and policy. And so if one looks at
13 greenhouse gas emissions around the world, increasingly more
14 and more and more of the anthropogenic emissions are
15 concentrated in large urban areas, the so-called mega cities
16 with extended areas and populations in excess of 10 million
17 people. Los Angeles happens to be one of those. And we are
18 located there, as well as Caltech, UCLA and others. And so
19 we had kind of an already built-in infrastructure with which
20 to begin operations. We currently have partner cities in
21 Paris and Sao Paulo. And we're working on establishing
22 methodologies and infrastructure that might be exported to
23 other cities.

24 Because I am from JPL, one of our primary
25 interests here is how do we port these types of measurements

1 to space so that we can look back with satellite-based
2 instruments and sample in places that we might not have
3 access to. Mark very eloquently talked about the problem
4 with getting access to individual sites. From space or from
5 the air it's easier to look down. But when we started
6 thinking about making satellite measurements over mega
7 cities we realized that we had no valid verification of the
8 measurements that we were making, so we didn't have any way
9 to calibrate or put metrics on them. So another reason for
10 spinning up this Mega Cities Project was to be able to have
11 some ground-based validation data to use against the
12 satellites.

13 You can see some of the questions that we're
14 asking there. The current network is on the order of 15
15 sites, towers and rooftops where we're making measurements
16 continuously throughout the Southern California Air Basin.

17 Here's an example of the current network sites.
18 And you can see the yellow star there shows you where Aliso
19 Canyon is. We'll talk about that in just a moment.

20 And, yes, and so this just gives you an idea of
21 what some of the different sites look like. We have
22 multiple towers. We have rooftops. We've been making
23 measurements since about 2012 at the sites, and we're
24 currently spun up and operating again from sites that range
25 from in the middle of the city, like in Compton or at Cal

1 State Fullerton. We also have sites on San Clemente Island.
2 So that helps gives us background, as well as Victorville
3 and up in the Mount Wilson area.

4 Okay, why aren't you advancing? There were go.

5 So again, going back to the tiered observing
6 system, looking down from space and averaging together many
7 years of data, Eric Kort, Christian Frankenberg, were
8 looking at the SCIMACHY data, and they found two spots, one
9 of which Colm and Steve and others flew around earlier which
10 was the Four Corners area over near Colorado, New Mexico,
11 Utah and Arizona, all coming together in a single spot. And
12 they found some really neat stuff there that had to do with
13 coal mining and oil and gas production.

14 But there was another hotspot which showed up, and
15 that winds up being in the southern San Joaquin Valley in
16 and around the Bakersfield area. And if one looks at the
17 infrastructure, et cetera, that are available or information
18 on the infrastructure and things that are available there,
19 you can find that it's, in fact, kind of divided into this
20 almost schizophrenic distribution; right? There are 30,000
21 or so wells confined to within something like about 500
22 square kilometers in the Kern River area, so 30,000 or more
23 potential sources there.

24 And then about 50 kilometers away you have a
25 concentration of 30, what we could call mega dairies. So

1 you have over 175,000 cattle there. And these dairies are
2 highly active and productive and are thought to be one of
3 the biggest sources of methane in that part of the state.
4 And there is the well-known difference of opinion between
5 various researchers on whether California's methane
6 challenges are due to agricultural or oil and gas
7 production. And you can find literature reports that tilt
8 one way or the other depending on which of the literature
9 papers you like to read. So one of the things we were
10 interested in is going in and looking at that and trying to
11 resolve it.

12 Also there's this problem with super emitters that
13 many people have been looking at now where just a few of
14 these very large emission sources might be accounting for
15 well over half of the total emissions. And so within this
16 framework of the tiered observing systems, one of our goals
17 is to be able to identify and quantify, as well as locate
18 these super emitters.

19 And so we had a quick aircraft campaign. Again
20 just showing you going from the view of the state of
21 California, there are some flight lines set up over the Kern
22 River area, kind of in the upper right, and down in the
23 dairy area which is lower center. We also flew further
24 west, some other oil and gas production area. And then you
25 can see in Panel C what some of the oil fields look like.

1 I'm having a challenge again.

2 And then here's what we think of as some
3 transformational information that we're getting now. So
4 we've put on aircraft some imaging sensors, one of which we
5 call AVIRIS which operates in the near infrared, another one
6 which is HyTES that operates in the thermal infrared. And
7 because these are not just radiometers but they're actually
8 dividing the light into different spectral components, we
9 have channels in each one of these sensors that are
10 sensitive to methane and those that are sensitive just to
11 background.

12 Additionally, we're getting infrared images which
13 are the kind of gray scale composites that are being shown
14 there. And we have approximately two to three meter spatial
15 resolution for these. So we've done some careful testing
16 doing kind of controlled release experiments, like Steve
17 talked about that he did near Denver, looking at ethane and
18 methane sensitivities. We've done similar experiments and
19 kind of have a threshold understanding for how sensitive
20 these detectors are. And the great thing about this is
21 combining the sensitivity of -- so imaging individual
22 plumes, you can see here that the HyTES will continue to
23 show up in green because of the way those algorithms are
24 done, and then here's an AVIRIS image shown over one of the
25 oil fields in white on a blue background there.

1 This is down in the diary area. And this whitish
2 rectangle on either side there, those are the manure
3 lagoons. And this is actually -- what we're seeing is a
4 plume coming off the manure lagoon itself, not a plume
5 coming off from the nearby sheds where all the cattle are.
6 And so not only are we talking about being able to identify
7 spatially where the plumes are coming from, but we're now
8 delving down two, three, four layers into the sectorial
9 attribution and getting real process-level information.

10 This, by the way, on the right-hand side I believe
11 is one of the very few wells that we saw leaking in the Kern
12 River area. Most of the wells of the 30,000, I think we
13 only found 6 or 7 that were actually emitting considerable
14 amounts of methane when we did our surveys. And we believe
15 that those were all areas with active drilling.

16 All right, so continuing onward, yes, that one,
17 now looking at Aliso Canyon with the Mega Cities Network and
18 some of the assets we have there, we've got the combination
19 of being able to look down with aircraft as it's shown on
20 the right-hand side from some panels there. And also
21 looking down from the top of Mount Wilson, we have a remote
22 sensing instrument that we call the PanFTS that's up on the
23 California Laboratory for Atmospheric Remote Sensing or
24 CLARS, so you'll hear me call this the CLARS data. And what
25 this is 1.7 kilometers up above the Los Angeles Basin on the

1 top of Mount Wilson we have a remote sensing sensor, looking
2 down, also making measurements in the near infrared, like we
3 do from the Orbiting Carbon Observatory or that will be done
4 from other space-based measurements.

5 And this is our very, very low flying satellite
6 simulation of what one might be able to get from
7 geostationary orbit. And so there we're able to look down.
8 As long as the sun is shining it's looking at sunlight
9 reflected off the surface down in the basin. We can get
10 measurements on an hourly basis. We can get measurements
11 every day. We're limited only by instrument uptime, and
12 also when the sun is shining in cloud-free conditions.

13 And so what you see on the lower left-hand side
14 there is a field representation integrated together of what
15 we saw for methane concentrations just prior to when Aliso
16 Canyon started. And then here's an example of what we're
17 doing with some LES modeling and asking questions about
18 Aliso Canyon.

19 And so let's begin to look. And this is one of
20 the images, again integrated up from CLARS, showing you now
21 in the upper left-hand portion -- sorry, I wish I had a
22 laser that actually worked -- in the upper left-hand portion
23 you can see the considerable increase of methane
24 concentration as the wind is blowing towards the southeast
25 and beginning to bring that methane from the Aliso Canyon

1 leak into the L.A. Basin.

2 And next up. Okay, yes.

3 And now we're going to integrate in also airborne
4 measurements and begin to look at various different aspects
5 of this tiered observing system, ground-based measurements,
6 mobile measurements, et cetera.

7 All right, so from the NASA ER-2 we made
8 measurements with the AVIRIS sensor shown on the left-hand
9 panel there. That's an image of what the plume looks like.
10 You're seeing approximately a five kilometer long plume
11 extending to the south because the winds were blowing out of
12 the north this day. These are favorable conditions for the
13 kinds of measurements that Steve talked about. To the north
14 the terrain is very steep and rugged and not really
15 conducive to airborne mass balance experiments, and so keep
16 that in mind.

17 Also, we saw from the Hyperion sensor on EO-1, we
18 saw this same plume. So there's what it looks like on the
19 overpass on the right-hand panel. And this is the David
20 Thompson paper that just came out last week that was
21 mentioned earlier.

22 All right, here are multiple overpasses with
23 AVIRIS. These are spaced about 30 minutes apart. And you
24 can actually see the temporal evolution of the plume under
25 changing environmental conditions. So you can see it kind

1 of moving back and forth, snaking around as the wind
2 changes, as the eddies take place, as the temperatures, et
3 cetera, change during time of day. And so that's the kind
4 of information that we're now getting on the spatial extent
5 of the plume that compliments very nicely the quantitative
6 measurements made from the mass balance experiments.

7 Here's a day where the wind is actually blowing
8 from the south and moving the plumes north. On the left-
9 hand side you see the HyTES measurement. On the right-hand
10 side you see the AVIRIS measurement. These over flights
11 we're about seven minutes apart if I recall correctly. What
12 I'd like to highlight here are what's showing inside of the
13 circles, which is the bloom didn't come only from the
14 blowout at the SS-125 well, but that there were neighboring
15 plumes coming from other areas nearby. There was also a
16 wellhead that we found from a separate oil production
17 facility that was leaking. But we find that there is a much
18 more complex emissions scenario then has previously been
19 assumed, and that these secondary sources have a much higher
20 variability primary source.

21 Okay, and so I just wanted to highlight now that
22 we think that this methane emissions problem, especially the
23 super emitters, is really tractable and provides a
24 tremendous benefit to all sectors of society. So the key is
25 to have an efficient way for identifying and analyzing and

1 being able to then visualize and understand these data.

2 And so we are putting together a new project which
3 is called the Methane Source Finder which combines all of
4 these aspects together, as well as the transformative nature
5 of those imaging sensors that I showed you in terms of being
6 able to pinpoint not only where the sources are, but when
7 combined with GIS information you get tremendous insight
8 into process and sector attribution.

9 Here's an example of a couple of early entries
10 from the database. So the map that is down there shows
11 different colors, all the potential sources in the Southern
12 California air basin. Probably not all. We don't believe
13 that it's comprehensive yet. But it's in the neighborhood
14 of 17,000 or 18,000 at this point. Most of them are oil and
15 gas wells. But it also shows pipelines and landfills, et
16 cetera. The two yellow stars, the one down here by the
17 coast is actually this oil and gas facility.

18 So here not only are we talking about facility
19 level information, but you can see the six storage tanks
20 easily in the relief image here. And, in fact, the one on
21 the lower left-hand side that is starred is the one that was
22 found to be emitting when we did the high-test over flights
23 there. So you can see the green coming out and blooming
24 from that. And repeat surveys show that, in fact, it was
25 that storage well along the six. So this is the level of

1 detail that we're being able to discover with these new
2 Imaging sensors.

3 Likewise, over here we have one of the local
4 landfills. So not only are we saying emissions coming from
5 the fill, we're able to pinpoint within a few meters
6 actually we're in the landfill area that the emissions are
7 coming from. We think that this combination remote sensing
8 Imaging and the GIS is going to be revolutionary in helping
9 us understand what's going on.

10 And with the help of Bart and ARB and the CEC and
11 others, we are getting ready to spend up a California-wide
12 survey. The emotional areas of where we would be flying the
13 imaging sensors are outlined in green there. These are
14 still under discussion, but the idea is that with a few
15 well-chosen air of order five or six, we believe we can
16 isolate approximately 80 percent of the emission for the
17 state of California, and then to do surveys and find out and
18 characterize and identify the super emitters and get
19 statistics that will go not, only for the natural gas
20 infrastructure, but also across agriculture, et cetera, and
21 give us an understanding of how methane infrastructure in
22 the state of California is operating and how well or poorly
23 we can find some of these different leaks. So this is going
24 to be a really fun challenge.

25 There was mentioned before several times about catastrophic

1 events and how do we respond quickly to those. For
2 instance, earthquake rupture of a pipeline is something that
3 would be extremely important to get on right away. And so
4 we are looking for some real time options for actual onboard
5 analysis of this is very complicated remote sensing imagery
6 and the ability to use that to identify, and even give it
7 first order quantification to the plumes that are being
8 admitted.

9 I'll put up my summary points there. But I would
10 really like, if you take home nothing from the talk, to
11 think about the words tiered observing system, and to use
12 different sets of measurements to take advantages of their
13 strength and by bringing together different kinds of
14 observations for different spatial-temporal scales, and soap
15 for different quantifications of methane leaks that we have
16 an ability to take on this big challenge from the local
17 level up through the regional and state levels. Thank you.

18
19 MR. CROES: Thank you, Chip.

20 Our final speaker this morning -- or this
21 afternoon is Colm Sweeney. He's the Lead Scientist for the
22 NOAA Carbon Cycle Aircraft Program, as well as a Research
23 Scientist at University of Colorado Boulder. So he works on
24 very large scales, from Arctic to Antarctica, looking at
25 sources and sinks of greenhouse gas emissions.

1 So welcome.

2 MR. SWEENEY: Thank you for having me, and hello
3 everyone. I'm not going to tell you anything that actually
4 hasn't been told before in the multiple talks that have gone
5 on before me. Fortunately, I've had the pleasure of working
6 with all of the speakers and they've done a pretty good job
7 of describing what we've done together. Starting with
8 Chip's talk which talked about tiered observing systems, I'm
9 sort of bringing a perspective of that from some of the
10 experiments that we've done just looking at this, you know,
11 this idea of scaling down to drill into what the real, you
12 know, what we're trying to find with methane emissions and
13 where they're coming from.

14 But before I start I wanted to start with where I
15 come from, what's my perspective on this is. I'm not going
16 to talk to you about California, except for the fact that
17 one of the first times we ever used the mass balance, and
18 that's really where our group has sort of added to the
19 conversation is these larger regional mass balances. And we
20 did one of our first mass balances in trying to understand
21 how much Co2 out of Sacramento, and that's is a paper that
22 we wrote about eight years ago.

23 But since then we've done -- you know, our focus
24 is on global methane and Co2 in particular. In the middle
25 panel you can see where all of our sites are. Where are

1 mostly ground-based sites, but we also -- one of the big
2 things that I do is I contribute. And on the upper left-
3 hand corner you can see sites that I run that are every two
4 weeks. We have a small Cessna type airplane that will go up
5 to 25,000 feet and take flasks as it's circling down. And
6 these form a basic background for all of the measurements
7 that we do in a vertical profiling situation, and I will
8 sort of get back to that later on. But as I indicated,
9 there's also a lot of work that's we do up in the Arctic, as
10 well as looking at urban plumes from aircraft using this
11 mass balance. And then I will talk some about our
12 commercial aircraft ventures that we are to embark on, which
13 I hope will help solve this problem from a national level
14 and add something to the discussion.

15 But the main point of today's discussion is what
16 we've contributed to the sort of national discussion about
17 natural gas and oil production, and the emissions are. So
18 what I've got up here are percentages of the total
19 production, so these are not leak rate, but they're
20 percentages of the total production in the different basins
21 that we've visited in the last three or four years. There
22 is a lot to there, it represents 40 percent of the U.S.
23 total natural gas production, and there's about 70 percent
24 of the shale gas production.

25 We found out some pretty interesting things.

1 Ramon mentioned earlier on, what I'm showing here, this is
2 the leak rate of various sites that you saw on the map
3 before. And what I've done is scaled them, as Ramon showed
4 you, to production. So the width of the bar is the relative
5 productivity of that given well. So what you can see there
6 immediately is that the smaller producing fields tend to be
7 the bigger leaking fields. There were other observations
8 made with Rob and Ramon. There is also the sense that if
9 there is more gas production there's more incentive to
10 actually keep the gas for yourself and sell it rather than
11 leave it. These are sort of the things that we are learning
12 from aggregating all of this data into one.

13 It's interesting to note that the EPA has just
14 revised its inventory. So what I've done here, the red and
15 the blue bars indicate sort of what's happening from
16 production and processing, and that's what we measure during
17 the mass balance. We don't see down into transmission or
18 distribution.

19 But what you can see is that in the previous
20 inventory last year EPA was estimating that that took a 0.8
21 percent of the leakage rate, and now that jumped up to now
22 when 1,2 percent. Next to our emissions estimate, which
23 1.6, Ramon noted a 1,9 number. This will move around as we
24 sort of zero in on what, you know, fields we're including in
25 that estimate.

1 So we've talked a lot about top-down/bottom-up
2 estimates. I like to think of this is sort of a scale, a
3 time-space regime. The bottom-up tends to be, you know,
4 moving from very small scale to a large scale, whereas the
5 top-down is sort of the other direction. And as Chip
6 mentioned, it's sort of, you know, the satellites are
7 envisioned as our outermost large-scale observing system,
8 and then you work down through the aircraft and eventually
9 you reach the facility level.

10 And as has been mentioned many times, we have this
11 fat tail. This offers us a great opportunity. The big
12 leakers are going to be the ones that our going to make the
13 difference. If we can get ahold of those big leakers, we
14 can do a lot of damage to the emissions that we see for oil
15 and gas. And so from that that perspective it's a
16 relatively simple and low-cost problem and we just need the
17 detection infrastructure to see it. And as Chip pointed
18 out, this is not a one -- you know, there's not one tool for
19 this. Every place we go we need different tools. We want
20 to combine the processes that Steve Conley showed earlier of
21 circling one individual source to the large-scale mapping
22 that was shown earlier.

23 I want to show an example of one such field. This
24 was the Four Corners. Again, Chip showed you this picture.
25 The four corners area came out as a big red dot, as outlined

1 by that white square. And what we realized is that we need
2 to figure out what is going on there, what is the source of
3 these emissions? And this is a paper that Eric Kort and
4 others wrote showing that you could actually estimate based
5 on the imaging of the SCIAMACHY satellite, you could
6 estimate about 0.6 teragrams of methane coming out of that
7 area.

8 So what's going on in the area? Mostly it's -- the
9 big thing is coal-bed methane. It's the biggest source of
10 coal bed methane in the United States. There's also a lot
11 of tights and oil -- I mean gas and oil coming from there.
12 There is active coal mining going on. There are geological
13 seeps. There is large power plants. But if there is a very
14 little sort of agricultural or other emissions. So this is
15 sort of, you know, a variety of different sources. Better
16 than that we can eliminate some of the agricultural and
17 natural sources that's we see, wetlands in other areas.

18 So as I said before, we wanted to take a multi-
19 scale approach. The first highest level approach is to
20 actually do a mass balance. And that's simply taking
21 Steve's circles and expanding them to a whole entire basin.
22 So we have an upwind measurement and we have a downwind
23 measurement and we look at the difference, and from the
24 difference we infer a flux.

25 And then that next step is the point source

1 verification. JPL brought their AVIRIS and their other
2 sensors to help us look at and Survey this field. I also
3 had Steve on site, and he mowing the lawn, as I like to call
4 it, with his aircraft, going back and forth and picking up
5 all the individual point sources. And then that information
6 could be passed on to the ground teams who all then would
7 follow up with FTRI or in situ measurements made on the
8 ground and really understand what process was contributing
9 to the emissions.

10 So this is another look at this. On the far left
11 you have a mass balance. If you have a good Wednesday you
12 can measure upwind. And the red line is where the wind is
13 coming from. And you can see the red is indicating high
14 methane in the northern part of the basin, and the low
15 methane on the other side. All the wells are located in the
16 middle of that house-like pattern that we drew there.
17 The second frame indicates the mowing of the lawn. And this
18 was something that Steve was doing to try to understand
19 where, in fact, the leaks were. And then a day later, back
20 to those same leaks and actually quantifying the biggest
21 ones so that we could then understand what fraction of the
22 total these enormous balance -- what fraction of the total
23 each one of these individual leaders contributed to.

24 So at the mass balance looks like this. This is
25 one that we did in the Barnett region where we were flying.

1 The magenta arrows are showing the wind direction over at
2 the time of the flight. Then you can see at the end of
3 those arrows is where we did the downwind flight. So we did
4 the back and forth five times. And then on the right what
5 you see is at each altitude that we flew you can see the
6 outline of the plume. And you can see that each time we
7 flew over, represents a different attitude. That plume
8 perfectly reproduces itself over that time period. Knowing
9 if the height the boundary layer, we can then estimate the
10 total amount of a mass coming out that down when grid that
11 we did.

12 As Steve pointed out, the point source side of
13 identification and flux estimate for particular point
14 sources is estimated here. See that shows a nice
15 demonstration of this in his talk, and we're doing it the
16 same thing in this basin, so that we could identify that no
17 more than -- no one source accounted for more than about
18 five percent of the total emissions in this field.
19 So then we took -- we also had tests in AVIRIS which was
20 what Chip was showing, and we went through there. What you
21 can see -- I don't know if you can -- how well you can see
22 it, but where is a red shaded area which is where the HyTES
23 went. And then the blue shaded area, which sort of covers a
24 much greater area, is the AVIRIS.

25 And between the two of them we were able to see

1 multiple ignition sources that accounted for about 0.4 tons
2 of the total that we expect in that region of about 0.6
3 based on our mass balance. And we were also able to put
4 together a distribution of those emissions throughout the
5 region and during the two-week time period that they were
6 there.

7 So it was a really -- it was a nice compilation
8 from the air. And then we were able to have the ground team
9 go and actually check out these individual plumes with the
10 FTRI -- I mean, sorry, the FLIR camera and the in situ
11 measurements that they had on site. And at the top are the
12 two vans that we used to do that.

13 So they take away points for our top-down kind of
14 estimates are we've been to multiple fields, and I think one
15 of the things that I always say is there's no silver bullet,
16 there is well one way to do this really well. It's
17 important to merge, as Ramon showed, it's really important
18 to merge what we learn from the top-down with the bottom-up,
19 that one approach is not necessarily the right way. There
20 is a lot of advantages to the bottom-up in the sense that
21 you can put together a time series, we have trouble doing
22 from an observational point of view on the top-down
23 approach.

24 The other big thing that's been brought a little
25 bit today, which is that in either method that we use we

1 have to really understand what the uncertainties of those
2 methods are. And it doesn't stay the same, it's all
3 different everywhere we go.

4 So I want to actually take one moment because
5 there's been some recent articles that have come out using
6 satellites. And although we really had to success with the
7 satellites and SCIAMACHY identifying a source in the Four
8 Corners, there's been a lot of other estimates that have
9 been, well, I don't know, they are more questionable. And I
10 think this sort of gets back to what Chip had mentioned,
11 which is we always need to use as many different types -- we
12 need to solve this problem in as many ways as we can.

13 So I want to direct you to a GRL article that was
14 published in January, suggesting from the GOSAT satellite
15 that nothing was increasing by 2.5 percent per year in the
16 last 12 years. So one way that I can do this, that I can
17 check this data is to look at data that I have been taking
18 over that same time period. So what time is showing you is
19 these aircraft profiles. And this is a time series at the
20 bottom. You can kind of see that in the boundary layer,
21 which is marked BL, there are enhancements. Every year
22 there is this cyclic and enhancement. And then if I compare
23 the free troposphere, which is the upper part, with the
24 boundary layer I can get a change and methane over time if
25 there's been an increase in methane. So I can do this at

1 multiple sites. So the blue lines are showing where those
2 sites are that we have and compare them to what is in the
3 red, which is about two percent growth rate in methane
4 indicated by GOSAT. And what you see here is in none of
5 those sites do I see any enhancements. But when I look at
6 something like propane, which comes from, you know, things
7 like oil and gas, I see significant increases in every one
8 of those locations. What does that mean? I'm going to leave
9 that as a question.

10 But, you know, the final thing is that one of
11 my -- as I mentioned earlier, one of the things at NOAA that
12 we are going after is really developing a commercial
13 aircraft Network where we would have Picarro-type sensors on
14 multiple aircraft, making a hundred profiles a day. With
15 ten aircraft that's all I need, and I can really start to
16 pick up signals like that.

17 So anyways, I'm going to leave it that -- I think
18 I've talked long enough, but you very much for your
19 attention.

20 (Applause.)

21 MR CROES: We're going to invite the speakers up
22 here and encourage people to ask questions.

23 Well you're gathering your thoughts I thought I
24 would just kick it off. So this idea of a fat tail
25 distribution is something, you know, we've seen with cars

1 for the last 40 or 50 years. And understanding this fat
2 tail actually helped us reduce differences between top-down
3 and bottom-up for our emission inventories. And it helped
4 us to identify which cars needed to be repaired. And
5 actually the higher emitter problem is still there, but much
6 diminished over time.

7 And so I have a two-part question for you. When
8 is, these high emitters, do they have the potential to
9 explain some of the differences that Mark talked about
10 between various bottom-up and top-down estimates? And Colm
11 talked about that, as well, on the U.S. scale. And then
12 it, too, have you guys been involved in any studies that
13 tried to fix these high emitters and track those fixes over
14 time?

15 MR. MILLER: How's that? All right. So one of
16 the things that were very interested in, only with the work
17 that we've been doing at JPL, much of the work is that we
18 are about to embark on with this California survey is
19 identifying the super emitters, because we feel that that is
20 probably the most tractable means for medication. And we're
21 not in this to point fingers at anybody, but we really want
22 to help understand what causes these particular events to
23 take place, why where is this super another characteristic
24 that seems to go across every single individual sector that
25 we've looked at so far. It applies to agriculture. It

1 applies to the landfills. It applies to the natural gas
2 infrastructure, oil and gas production, just to go across
3 the board and you see it in every aspect of methane it
4 related to science. So there is some really neat science
5 that you can be understood that they are, as well as the
6 possibility for having a very significant societal benefit
7 in terms of policy and science interaction.

8 MR. SWEENEY: I mean, you know, the study that
9 Ramon did, you know, led in the Barnett really showed what a
10 difference it made to actually start to incorporate that fat
11 tail distribution in the estimate. So, you know, he had a
12 great example of how much difference it really made to
13 incorporate that. And I think it was really important that
14 that was done.

15 But he also pointed out that there are some other
16 basic issues that need to be dealt with, which just basic
17 counts of facilities that hasn't been done thus far in most
18 basins.

19 MR. ALVAREZ: Thanks. Ramon Alvarez with
20 Environmental Defense Fund. Just two quick comments, maybe
21 a reaction from Mark.

22 But first I just want to emphasize that a lot of
23 conversation about super emitters, and, yes, they're
24 important, but all of the emissions don't you just come from
25 super emitters, and it depends how much exactly is super

1 emitters contribute. They might contribute half, they might
2 contribute two-thirds, the remainder is just the regular
3 stuff and there are opportunities to reduce those two It's a
4 different kind of strategy, but let's not forget about
5 those.

6 And, Mark, issues and clarification, that you
7 referenced your results for Bakersfield, and go for it the
8 Bay Area, 0.3 to 0.5 percent of local gas delivered. Being
9 a lower number than I presented, I just to clarify. I
10 didn't mean to say anything about sort of anything beyond
11 the city gape. All the numbers I gave are sort of upstream
12 production gathering maybe, and transmission. So I don't
13 know if you were referring it to something specific maybe,
14 the Boston at work that Rob Jackson mentioned where they had
15 like 2.7 percent Boston gas delivered, more than that.

16 MR. FISCHER: My comment was only that the prior
17 assumptions, like they were lower than the estimate of 0.5
18 percent that you had mentioned, but are top-down work,
19 appears to be at ballpark with caveats that have to do with
20 whether we lump in the consumption side.

21 MR. ALVAREZ: I guess then just to clarify that,
22 that's when I said 45 percent for long distance
23 transmission, it really is just a transmission? A couple of
24 times today I have heard the transmission and distribution.
25 I think important to distinguish those.

1 MR. FISCHER: Yes.

2 MR. ALVAREZ: It's a different infrastructure. So
3 that's really transmission to the city gate, local
4 distribution in a consumptive area like the Bay Area with
5 the additional. You might get a little bit of transmission,
6 you know, from that the larger Bay Area. Maybe there's one
7 or two compressor stations across there, I'm not sure. But
8 it's not going to be the same aggregate total that you get
9 from thousands of miles of transmission.

10 MR. FISCHER: You're absolutely right. Your
11 comment with respect to transmission, I do distinguish
12 transmission. We haven't done our work really addressed
13 transmission directly. It has started to do that for some
14 of the pipelines, but it is not exhausted.

15 MR. BRANDT: Adam Brandt hear from Sanford.
16 Hello? Quick question about sort of multiple scales. One
17 thing that has always struck me, we've got about a million
18 operating oil and gas -- okay. Hello? Yeah, okay. We've
19 got a million operating oil and gas Wells or so, two-and-a-
20 half unit kilometers of pipe and that sort of thing. It
21 strikes me that this -- I understand the need for the
22 occasional pointed nearest source sort of a plume character.
23 It strikes me that a lot of these methods that seem good for
24 a scientific analysis don't scale well at all.

25 So this keeps pointing at me back towards

1 something that looks like a satellite, I don't know what
2 exactly it is but it's something with that sort of scale if
3 you're talking millions of kilometers, 500 million wells.

4 What's on the Forefront for the use of satellite?
5 And is this something that we in the community should expect
6 is possible, if it's physically possible? I know that it's
7 possible that high res -- or at low resolution. Is it
8 possible at high resolution? If it is, is it too expensive?
9 I don't know. I'd like -- from that space scientists I'd
10 like to get a sense of what's out there for this very large
11 scale characterization.

12 MR. MILLER: All right, so one asset that will be
13 coming online either late calendar year 2016 or early in
14 2017 is the European Space Agency's TROPOMI. That will have
15 a sensor similar to that of the SCIAMCHY instrument. It
16 operates in the near infrared. It looks as reflected
17 sunlight. And it will have a sensitivity to channels that
18 will give it nothing detection cable. It's spatial
19 resolution at Nadir would be approximately seven kilometers.

20 And so you're going to be able to see better spatial
21 resolution than you would with SCIAMCHY, but not certainly
22 down to the individual point source or facility-level. The
23 initial calculations that I've seen from the preflight test
24 result suggest that it should operate very well and have
25 considerably better sensitivity than what you're saying from

1 SCIAMCHY. But the design of TROPOMI is not necessarily to
2 get at these point sources. Actually to look at global
3 methane science, and it's looking for large-scale changes
4 background concentrations, as well as concentration changes
5 that might be do it to Wetlands or tropical forests, things
6 like that. So it's not dedicated to this pursuit.

7 Add JPL and within NASA we have known for many
8 years what it takes to design and build such a satellite.
9 It would be very similar to what we were looking at it from
10 the technology that's on the Orbiting Carbon Observatory
11 which in an early incarnation did, in fact include sensors
12 for methane and carbon monoxide, as well as carbon dioxide.
13 And if one is looking at trying to have a kind of continuous
14 monitoring at capability for say the continental United
15 States area, then we are looking at opportunities for
16 geostationary flight which allow you to basically sit and
17 stare over that specific special region and get multiple,
18 perhaps even hourly observations, every day that you don't
19 have cloud cover over an area.

20 MR. FISCHER: Adam, I might add, and Chip should
21 chime in and correct me. I understand that there is also a
22 commercial methane sensor that's being launched this summer
23 by a Canadian company which is by some estimates capable of
24 detecting sort of ends of meter scales a plume corresponding
25 to emission in sort of round numbers of a couple hundred

1 kilograms per hour. So a non-trivial but not Aliso scale
2 sort of leak. I mean it, that is comparable some of the
3 storage facilities that we have measured. Chip should
4 correct me because there may be a caveats that the
5 proponents of that didn't make it clear when I listen to
6 them that.

7 MR. MILLER: We have spoken with this
8 aforementioned Canadian company, they don't really share any
9 technical details at this point. They tell us to just wait
10 for the first data to come back from space. So we remain
11 interested to see what happens with that.

12 MR. SWEENEY: I just have one other thing to add,
13 is that when I walked in this morning I heard mention of the
14 throne, you know, the myth of the drone, the myth of the
15 satellite. I mean, I think again it comes back to multiple
16 tools and really making sure that you have multiple tools
17 and that you don't set up a system which doesn't have a
18 backup system to understand this.

19 MR. BRANDT: Sure. Fine. I feel you. But I can
20 go to Google and in three seconds find out that my mom was
21 parked in the driveway on a particular day --

22 MR. FISCHER: Right.

23 MR. BRANDT: -- in the house I grew up in. And so
24 likely if I knew where you grew up I could find out if your
25 mom was there --

1 MR. FISCHER: Right.

2 MR. BRANDT: -- right, and in another four
3 seconds. So that kind of thing did not exist when we were
4 taking aerial imagery. My wife's father was a geologist and
5 he still gets stereograms to look for slides and things like
6 this, aircraft-taken photos. That sort of thing didn't
7 exist 30 years ago --

8 MR. FISCHER: Right.

9 MR. BRANDT: -- because you didn't have ubiquitous
10 imagery. So it strikes me that for a million wells, I
11 understand you like to fly your plane, but there's a million
12 Wells and two so what's the-and-a-half million kilometers,
13 so sorry, present scale. So what's the --

14 MR. FISCHER: Oh, but it does. I mean it, you
15 know, I guess we didn't talk enough about inversions and how
16 you can actually use multiple --

17 MR. BRANDT: I understand how inversions work.

18 MR. FISCHER: Right.

19 MR. BRANDT: But the problem is if you need to
20 solve the problem you need to know where the problem is.

21 MR. FISCHER: Right.

22 MR. BRANDT: Right. And so if you can do
23 something if it's like building-scale or facility-scale,
24 which my understanding is you can't really do with
25 inversions with the current sensor network or anything that

1 looks like a feasible sensor network to the well pad sort of
2 scale, which I can look at Wells in the Bakken and see where
3 the pump is, where the pipes are; right?

4 MR. FISCHER: You know, for instance --

5 MR. BRANDT: I'm just curious what the possibility
6 is?

7 MR. HOU: Okay, Yu Hou from Energy Commission. I
8 have a question for MR. Sweeney that I got dance of the
9 commercial jet; correct? So the idea is putting sensors on
10 commercial jets, since they're flying anyways, flight
11 information? But I remember that, you know, from Mark's talk
12 that you have to be downwind, you have to fly in circles.
13 Are we talking about a completely different set of
14 instruments? Because I don't see us getting jetliners to
15 circle; right?

16 MR. SWEENEY: Yeah. No. So at this gets back to,
17 you know, the response I had for Adam, which is that you
18 have been observing system in place that has a really good
19 high accuracy measurement, can't get small gradients between
20 one place and another. And if you know it where the wind is
21 coming from on any given day you will inadvertently be
22 sampling the whole entire country. At one point or another
23 in any given profile you're always going to have different
24 winds on different days. And so over time you gain
25 observational capability of 360 degrees around you.

1 MR. HOU: So it's more of a national level of
2 information gathering --

3 MR. SWEENEY: Right.

4 MR. HOU: -- instead of point source
5 identification and quantification?

6 MR. SWEENEY: Well, this is really where the
7 scaling argument comes, if you have a tier -- whether it is
8 a satellite or the point is that you identify the hot spot
9 in that, and let you go and you send Steve or other, AVIRIS,
10 to actually figure out where exactly those plumes are coming
11 from actually at the facility level.

12 MR. HOU: I see. All right. Thank you.

13 MR. CROES: Okay, we are on time for the break.
14 So please come back in ten minutes, and let's thank our
15 speakers.

16 (Off the record at 2:56 p.m.)

17 (On the record at 3:13 p.m.)

18 MR. O'CONNOR: Great. Hello, everybody. Welcome
19 to the late afternoon session. We'll be talking a little
20 bit more about technology now, less about what we've been
21 measuring from satellites and airplanes, and more sort of at
22 the ground level. And as we look through this next session
23 and looking into tomorrow's session I think we're going to
24 be starting to talk about sort of where we're going from
25 here.

1 And EDF has been looking at the vehicular mobile
2 monitoring and stationary monitoring for a number of years
3 and trying to figure out how to integrate some of this new
4 technology into regulatory systems, not necessarily for the
5 purpose of having more information but for making better
6 decisions about how California and other states in the U.S.
7 can start to really implement technology into their rule
8 makings.

9 This road map of the discussion, I'm going to take
10 half the time to talk about vehicle-based system, and then
11 the second half to talk more about stationary continuous
12 monitors. I'm going to talk a little bit about the mapping
13 studies that we worked on, how those were used in California
14 and elsewhere. Folks have already started to alluding to it
15 about stuff in Boston, you know, what we've seen from
16 emissions. But we're going to really start talking about
17 why is all of this relevant for the rule-making context, and
18 then we're going to get into the stationary side and go
19 through the same framework.

20 Our mapping project started about three years ago.
21 And it was in a partnership with Google where we outfitted
22 some Google street-view cars with Picarro instruments and
23 drove them on a defined path on the streets, first in
24 Boston, and then later in Staten Island, Indianapolis, three
25 cities in Los Angeles. We've done parts of Jacksonville,

1 and Dallas, and Chicago. And as we did these mapping
2 studies we saw with very high levels of precision elevated
3 concentration of methane at certain points along the way.
4 Driving at about 20 miles per hour, generally just during
5 the day, and over a defined path using, with help from
6 researchers from Colorado State University, Jovan Fisher, we
7 were able to do some, first, controlled releases to verify
8 and prove out the methodology, and then later verify it
9 using field-level measurements.

10 And this isn't just about a car driving around and
11 picking up methane, it's about using computational
12 algorithms, that as the car drives through a methane plume
13 it can determine the size of the geographic extent of the
14 elevated concentrations of the methane, the maximum
15 concentration, how it changed over time, and we feel has
16 developed a methodology that is usable by utilities across
17 the United States to both identify point sources of methane
18 or natural gas emissions from subsurface and surface-level
19 equipment for the purpose of integrating that into
20 Distribution Integrity Management Plans.

21 The mapping we did in Southern California, this is
22 just one city, in Pasadena, identifies multiple points of
23 elevated levels of methane. And by looking at the relative
24 size of these peaks you can tell roughly the relative size
25 of an emission, of an emission point. Now there's some

1 question about the relative accuracy of any one PPM reading
2 and whether you can correlate that to a specific volumetric
3 flow rate.

4 And we've never actually said that we should be
5 trying to take this data and go to five decimal places, you
6 know, what a particular flow rate of a piece of equipment is
7 or of a leak. But we can do is we can evaluate the relative
8 size of a series of individual leaks and help to prioritize.
9 We think this could be used to help prioritize investments
10 in utility infrastructure to ensure the money, if you will,
11 the ratepayer funds, are spent in a manner which goes after
12 leaks that have, A, the highest bang for their buck, and
13 really do the right thing with respect to engaging in the
14 best highest-yield investments. And that's where we were at
15 the beginning of this.

16 And fast-forward to where we are today. And we
17 see that just like the instrumentation that's out there in
18 the hall, if you had this symposium last year you wouldn't
19 see probably as many folks. You wouldn't see the backpack
20 that Picarro has out there that's only 25 pounds. You
21 wouldn't see Los Gatos Research with three different types
22 of methane analyzers on their table, you'd see much less
23 than that.

24 And so this type of mapping work, you know, is now
25 really sort of going to a new level on a month-over-month

1 basis. We see CenterPoint Energy using this to map their
2 systems, their utilities located in Texas and in Arkansas.
3 And we see PG&E, of course, using it as well. And in their
4 regulatory filings, regulatory documents they say, look, we
5 use this technology. We put it on vehicles and we can
6 survey our systems faster. We find more leaks, leaks that
7 are there that we wouldn't have seen otherwise because the
8 equipment is more precise. And not only do we see more
9 leaks, but we can actually integrate this into a whole new
10 way of managing our infrastructure. This isn't any more
11 just about finding the dots on the map, but actually about
12 integrating this into new spatial analytics platforms for
13 the purposes of improving overall decision making.

14 On the graph you'll see -- or on the slide you'll
15 see a heat map. On the left, that's something where when
16 you evaluate the location of leaks and you see a clustering,
17 you can identify and maybe prioritize what's known as a
18 super crew method. It's something that both PG&E and
19 CenterPoint use for targeting a specific geographic area and
20 going after more investments there, or overlaying this onto
21 systems that allow for pipe age, proximity to sensitive
22 receptors, things of that nature, to really enhance and
23 improve Distribution Integrity Management Plans across the
24 board.

25 And why is this important? Well, we've all heard

1 about, of course, the fat tail emissions trend where a small
2 portion of the leaks that are out there are contributing a
3 disproportionate amount of the emissions. And this graph
4 shows that it holds true, not just for well pads and
5 gathering stations, but for local distribution systems, as
6 well. And when we think about how we put this new mapping
7 and technology framework into decision making we see -- and
8 this is an excerpt from a recent PricewaterhouseCoopers
9 paper they just put out looking at utility systems
10 integrating this data into new decision management
11 frameworks -- we see that these efforts can be fed into new
12 predictive modeling programs that can help to improve asset
13 management integrity, make better investment decisions in
14 deployment of people, processes and technologies. And when
15 you're doing that, and when you're doing it, obviously, with
16 ratepayer funds, it certainly pays dividends.

17 And so the next thing, you know, moving off of the
18 mobile is about a project that we were doing with
19 stationary. And when we put all this together at the end I
20 think the main thing, of course, I want to make is this is a
21 space of incredible growth, incredible innovation,
22 incredible, you know, movement. If five years ago I knew
23 what was going to be happening I'd probably be investing in
24 a methane detection company, who knows. But I think that
25 the stuff that we see now from the mobile is directly

1 translatable to what we're seeing in the stationary

2 We started a project a couple years back called
3 the Methane Detectors Challenge. The goal of this was to
4 help to foster the market for low-cost high-sensitivity
5 stationary equipment so that we can help to grow the space
6 of methane detection from one which has individual detection
7 devices costing \$100,000 instead of one where they're
8 costing, you know, \$1,000 or \$5,000, really creating the
9 opportunity for a ubiquitous sense of methane detection
10 monitors around the U.S., and the world really. And the
11 idea was to sort of create a smoke alarm, if you will --
12 sort of on the top there, that's our smoke alarm -- that if
13 it found methane it would just sort of beep. Like everybody
14 has a smoke alarm in their house, we thought at the
15 beginning of this that everybody should sort of have a
16 methane alarm on their well pad.

17 And so we partnered with a number of industry
18 players from oil and gas companies to technology providers.
19 And we convened a series of meetings and essentially asked
20 for as many ideas as people could have. Something that
21 would meet our specifications would be low cost, would be
22 high sensitivity, would be highly reliable, would be able to
23 work in all different types of environments, would be able
24 to act remotely, would be self-powered.

25 And we had about 25 different applicants come to

1 us. And from those applications, we vetted a number of them
2 and we got down to about five or eight different folks where
3 we invited them in to actually test the equipment. And from
4 there we've narrowed it down to two technologies which are
5 being bench tested and are being deployed at this moment.

6 And this is generally what we're getting. We're
7 getting the sort of, you know, self-contained solar powered
8 with batteries remote-capable methane detectors. So when
9 they detect an elevated concentration of methane they send a
10 signal via like cell phone over to an operator or to a SCADA
11 system that automatically alerts the operator to the
12 background.

13 And the reason we chose these two, and there were
14 several others that were very close but didn't emerge in the
15 final grouping, is that when we bench tested them we found
16 when they were operating side by side with the highly
17 sensitive Picarro instrument they worked really well, pretty
18 simple. They correlated with a low degree of error and with
19 a high level of precision. And these methane detectors,
20 when you look at them being deployed over a period of time,
21 they can learn background concentrations, so you can put it
22 in any type of environment.

23 Let's say you have an area that is a high level of
24 oil production, and so background methane concentrations are
25 just generally higher. You know that after a period of

1 time, as it learns what the baseline is, the sensors can
2 then detect concentrations above that baseline, or the
3 methane sensors themselves can detect when the baseline is
4 eroding and thus alert that it needs help, that it -- that
5 there's something wrong with it. And so these types of
6 sensors, one of them is an open-path laser sensor and one of
7 them is a point source, we think can be deployed in various
8 ways.

9 For example, you have, let's say in example number
10 two here, you have your well pad or a production site with a
11 few tanks, a flare, some pumps. And by putting sensors at
12 various corners an open-path laser can then essentially
13 create a perimeter around the site where you can detect
14 methane concentrations elevated as it flows away from the
15 site.

16 Now why does this really matter? Well, there's
17 two reason.

18 One is we have some sites here in California which
19 are unreasonably close to where people live. There's a site
20 really close to my house, the Jefferson Drill Site. There's
21 a building, actually, where people live right next door to
22 it. It's about five feet away from the site.

23 Funny story. You know, when the drill site was
24 actually put in the operator actually had to sign a contract
25 with the city that they would buy the building right next

1 door to it, a big apartment building, and it would sit there
2 vacant. And nobody could live there because it was so close
3 to the oil production site, the prevailing winds pushed it
4 that way, and over time it would act as a buffer, you know,
5 for the community that also lived there.

6 Well, back in the late '90s the city planner
7 agreed to a change in the permits of this particular
8 building, and now it's for international students, low-
9 income students that traditionally go to USC because it's
10 very close to USC. They're only there for about nine months
11 to a year, so if they start complaining of smells and
12 headaches after about six months they're sort of moved away.
13 And there is no monitoring. There is no way to tell, you
14 know, what's going into these buildings.

15 And so now we have a regulatory regime in
16 California where there's a rule making, one proposed by
17 DOGGR, another currently at the Public Utilities Commission,
18 another at ARB here, where they're looking at whether
19 continuous monitoring can be a part of this. And when we
20 look at these sensors that can continuously set a perimeter
21 for about \$5,000 on a well pad site that's producing roughly
22 40,000 barrels of oil today, that really, as a cost of doing
23 business, is quite low.

24 And so when we think about the relevance of this,
25 of course it's better, faster, automated leak detection.

1 And you can use them in communities and high-consequence
2 areas. The technology, of course, is less expensive and it
3 can help to reduce product waste, if that's what methane
4 emissions are. And greenhouse gases, of course, are reduced
5 if you actually act on it.

6 But really it's about helping to inform better
7 decision making, both by the operator, by the Air Resources
8 Board. And in creating this new technology that's out there
9 we think we can sort of see the ground for other innovators,
10 not just, of course, these two, but to show that there's a
11 rule-making here in California that can also be mirrored in
12 other places.

13 Now when you look at the technology that's being
14 deployed by Picarro, and we're going to hear from Picarro
15 here in just a second, it's fantastic. It's expensive but
16 it's very, very precise. And a couple of years ago, you
17 know, when we saw the development, now we see, for example,
18 Los Gatos Research with another piece of equipment. And
19 it's coming in with different capabilities and is being
20 purchased by other utilities. And we know that Picarro is
21 being purchased by, you know, many utilities across the U.S.

22 And it's about this proliferation of it all, which is what
23 we're looking for.

24 We think we're still at the tip of the iceberg.
25 And we think this sort of stuff is going to need to be

1 commonplace as we think about how to protect our communities
2 and environment moving forward.

3 So that's me. I've sort of lectured you all on
4 the environmental side of this. Now we're going to hear
5 from the real technology geeks.

6 MR. O'CONNOR: Now we're going to hear from the
7 real technology geeks, and first we're going to start with
8 Nate. Nate Gorence.

9 Nate is a technology to market adviser at the
10 Advanced Research Project Agency, ARPA-E, where he helps
11 prepare breakthrough energy technologies for transition from
12 the lab to the market, and deepen ARPA-E'S private sector
13 engagement.

14 Previously, Nate directed various aspects of
15 strategy, research design, analysis, policy development and
16 advocacy related to a broad range of energy and
17 environmental issues at a leading think tank. He holds an
18 MBA from Yale and he also went to Dartmouth.

19 Thank you, Nate.

20 MR. GORENCE: Those are embarrassing, so thanks
21 for bearing with.

22 I'm Nate Gorence, tech to market adviser with
23 ARPA-E. I manage the commercial activities of our MONITOR
24 Program, which is about a \$38 million effort to really
25 advance and ultimately commercialize novel low cost systems

1 to detect and quantify methane.

2 I'll kind of breeze through the portfolio today,
3 talk about our activities going forward and leave some time
4 for questions.

5 But just briefly about ARPA-E. We are kind of the
6 rogue stepchild of the Department of Energy. We basically
7 invest 280 million bucks a year in crazy ideas. We want
8 some of them to stick, and the ones that do we hope will be
9 transformative, so we invest in things from flying wind
10 turbines to robots that follow you around with a specific
11 temperature envelope, to new fusion reactors and low cost
12 methane sensors.

13 Our mandate is pretty encompassing. It's to
14 reduce imports, improve efficiency and reduce emissions, and
15 this MONITOR Program is very squarely focused on the latter.

16 And as I mentioned, we're not really trying to
17 create evolutionary gains, we want revolutionary ones. We
18 want to fundamentally change the learning curves that we are
19 on, and when we do that we recognize that some of the
20 technologies we invest in are going to fail, but again, the
21 ones that work are going to be very impactful.

22 So getting to the MONITOR Program, I think the
23 mantra of it is the old management adage that you can't
24 manage what you can't measure. And I think that right now,
25 although I'm inspired today with all the discussion about

1 quantification and localization that we've heard from some
2 of the other speakers today, but really today we have the
3 ability to locate leaks, but we can't really do it at low
4 cost. Labor is expensive. A lot of the equipment is
5 expensive. And we don't have the ability to quantify in a
6 commercial fashion.

7 And that's really what we're aiming to do today.
8 We want to quantify emissions at low cost and improve the
9 continuity of emissions monitoring for methane and
10 potentially other VOCs in the oil and gas supply chain.

11 At ARPA-E we're a very metrics driven
12 organization. What we do when we create a program, we do a
13 lot of due diligence for about six months. We poll experts,
14 we assess state of the art, and then we come up with what we
15 feel are very ambitious targets, and then tell the
16 innovative community in the U.S., hey, give us your best
17 ideas on how you'd achieve them.

18 For the MONITOR Program in particular we have a
19 detection threshold of 1 ton per year, equates to 6 standard
20 cubic feet per hour.

21 As I said, cost is very important. We have a
22 capital and operation expenditure limit of \$3,000 per site
23 per year.

24 We want to be confident that we can actually find
25 and then fix the leaks that are out there. We want a 90

1 percent reduction rate with a 90 percent confidence
2 interval, which basically means on average you have to be
3 able to find a leak every 18 days.

4 A lot of the sites in the country are remote.
5 False positives cost money, time, and effort, and hinder
6 actual responses, so we have a very ambitious target for
7 false positives.

8 And as I mentioned, really we want to quantify the
9 mass flow rate of the leaks. We don't just want to --
10 detection is great, but ultimately we want to be able to
11 quantify to know what leaks are happening and having the
12 most impact, and then prioritize where we can put our
13 resources to fix those leaks.

14 Lastly, we want to -- well, not lastly, but we
15 also want to locate it to within 1 meter. We want to be
16 very specific about where the leaks are.

17 We also want to be able to transmit wirelessly to
18 a remote location so that you can understand when there's a
19 leak and when you need to fix it.

20 And finally, we want to encourage enhanced
21 functionality. We've heard a lot today about speciation,
22 the differentiation between thermogenic and biogenic
23 methane. Some of the higher order hydrocarbons are also
24 important to detect and we want to encourage those
25 applications as well.

1 So the way our portfolio breaks down is basically
2 we have six technologies that are complete systems, which by
3 the end of the program will be able to hit, if they're
4 successful, all the metrics that I just listed. And then we
5 have five other projects that are partial systems, and so
6 they will bite off one or two pieces of the metrics apple,
7 but may not end in a complete system.

8 Applications. We have point sensors, we have an
9 imager technology, we have a couple long distance
10 applications. UIVs were mentioned this morning. We have a
11 couple aerial applications, and I'll just tick through these
12 quickly.

13 I'll start with the point sensors.

14 AERIS Technologies, start-up out of the Bay Area.
15 The CEO, Jim Scherer is in the back of the room. I highly
16 encourage all of you to go talk with him.
17 But essentially they're creating a tunable diode laser
18 absorption spectrometer, and it's going to be a stationary
19 measurement system that can deduce flow rates and
20 localization.

21 What's really interesting about AERIS is currently
22 the state of the art is about \$100,000 for a microwave size
23 spectrometer, and what AERIS is doing through a novel multi-
24 pass cell is they're basically shrinking the detector to
25 about the size of an iPhone and putting that system into a

1 portable unit that's basically a lunchbox size.

2 It's highly sensitive. Without temperature
3 control it could get down to the tens of parts per billion,
4 and with temperature control it can get down to the single
5 parts per billion.

6 They're partnering with Los Alamos National Labs,
7 who are combining a neural network dispersion model for the
8 leak localization and mass flow rate, and AERIS is making
9 fantastic progress.

10 I highly encourage you to go see Jim's
11 spectrometers out at the booth. Currently they're taking
12 early orders on its mirror systems which includes both a
13 rack-mounted and a portable unit.

14 LI-COR Technology is a small business out of
15 Lincoln, Nebraska. They do a lot of ediflux covariance and
16 other instrumentation like that.

17 For this project they have a very similar
18 application to AERIS except that they're producing a
19 frequency comb with an enhanced optical feedback cavity.
20 This has been hard to do. Alignment issues are challenging.
21 They're partnering with a contract manufacturer called
22 Generation 8 to bring that cost down. If it's successful
23 the cost reductions will be about 10X and it'll be a high
24 resolution spectrometer.

25 Another project is with IBM. They're also

1 creating a tunable diode laser absorption spectrometer but
2 instead of creating a detector to the size of a lunchbox,
3 they're actually going to make it on a chip, about the size
4 of a Triscuit, which will include a laser sampling cavity
5 detector.

6 One other interesting thing about IBM is they're
7 known for their data management and cloud analytics.
8 They're going to create a self-organizing low power moat
9 system where essentially each moat passes data back to one
10 another until it gets uploaded into the cloud, and that's
11 combined with a dispersion model.

12 It doesn't have the craziest resolution but it's
13 going to be very cheap, about 100X in cost reductions from
14 comparable TDLAS spectrometers, on the order of a couple
15 hundred dollars. And as you can imagine, a distributed
16 network like this has interesting applications in a variety
17 of complex fields and sites.

18 PARC is creating another point sensor. It's going
19 to be chemical sensors. PARC is a spinoff research arm of
20 Xerox. They're known for their printing technologies, and
21 what they aim to do is to print very low cost chemical
22 sensors with carbon nanotubes.

23 And essentially what they're going to do is
24 they're going to dope each sensor with different metal oxide
25 and then put anywhere from 16 to 20 on a site and each

1 sensor will basically create a slightly different response,
2 and together they'll be able to detect a fingerprint of the
3 chemical composition of the gas that's on the field.

4 What's interesting about this is if it works, the sensors
5 are going to be exceptionally cheap. They're going to be a
6 thousand times on the order of a couple dollars per chip.
7 They're also combining with a mesh, with a low power mesh
8 network to communicate their analytics and mass flow rates.

9 Duke University, they're creating a miniaturized
10 coded aperture mass spectrometer. As you can see in the
11 upper left, it's a lab size instrument, and what they're
12 trying to do is basically shrink that down to the size of a
13 shoebox.

14 This is going to be a little bit more expensive
15 than some of the other technologies that we have, but what's
16 interesting is that it can detect a wide range of
17 hydrocarbons, including aromatics, in particular benzene.
18 We think that refineries and gas processing are going to be
19 interesting applications for this.

20 Moving along, we have two long distance
21 technologies.

22 The first is University of Colorado Boulder
23 partnering with both NIST and NOAA.

24 Essentially, they are creating a dual frequency
25 comb based system. How that works, it's really impressive

1 physics. It's basically controlling two waves. It's
2 basically controlling about a hundred thousand lasers in one
3 straight line.

4 What's interesting about this is that it can cover
5 exceptionally long distances, up to a handful of miles. It
6 has to have retro reflectors around a field, but as you can
7 see with the map there, it can easily reach a 5 kilometer
8 radius.

9 The laser can spit out, hit a number of retro
10 reflectors around a site and basically cover densely
11 populated wells in the tens if not hundreds at a single
12 time.

13 Here's a quick video, a stylized version of what
14 this might look like on a field, but as you see, it's a
15 portable unit. Sends a laser to a retro reflector, and it
16 would basically scan in a circular fashion and come up with
17 measurements that way.

18 GE is creating an optical sensor with a hollow
19 core fiber. What's interesting about this technology is
20 that you might be able to lay it pipelines or other complex
21 storage facilities.

22 Drones were discussed earlier today. We have a
23 couple of interesting technologies.

24 We have Paul Wehnert from Heath Consultants, who
25 is partnering with Physical Sciences, Inc. to create

1 essentially it's called the RMLD Sentry.

2 Right now if you go out to their booth you will
3 see that they have a backscatter spectrometer, which means
4 you shoot it out, bounces back and detects the path length
5 with methane concentration on it.

6 It's about the size of a briefcase and looks like
7 a radar gun. We're basically funding them to miniaturize
8 the device to about 300 grams, essentially the size of a
9 Coke can.

10 And then from there, PSI has developed a very
11 interesting quad copter. It was originally built to
12 withstand sand storms in Afghanistan. Has about a 350 gram
13 payload, and Heath Consultants and PSI is going to put this
14 system, the miniaturized RMLD on a drone.

15 As you can see here, the idea is to have
16 continuous monitoring where you will have the drone in the
17 bird's nest on the periphery. It will do fence line
18 perimeter monitoring. If any gas convects across that
19 plain, it'll initiate a flight pattern where the Instant
20 Eye, which is the name of the drone, can basically follow a
21 circular flight pattern until it localizes and quantifies
22 the leak.

23 I encourage you to talk to Paul about that.

24 Bridger Photonics, a company of Bozen, Montana,
25 they also are producing a back scatter spectrometer. What's

1 interesting about their technology is that they're combining
2 it with LiDAR.

3 Bridger is known for its distance measurements,
4 and what this system will be able to do is not only detect
5 methane but produce georeferenced high resolution
6 tomographic images.

7 And so it's very interesting to think about
8 characterizing a complex facility. You'll get a 3D
9 representation that's georeferenced along with any gas
10 detection on that.

11 Currently they're looking at both UAV, fixed wing,
12 and stationary applications.

13 We do have one imaging camera technology.

14 Rebellion Photonics out of Houston, Texas. As you
15 can see in the picture on the right, that big instrument is
16 their original multispectral imaging system. It looks like
17 a small oven, cost about \$300,000.

18 They are also miniaturizing this to about 350
19 grams, about the size of a Red Bull can, and bringing the
20 cost down considerably.

21 And then their application that they want to do is
22 actually to mount it on a helmet for safety. So the idea
23 would be that you actually mount this imaging camera on a
24 number of helmets for oil and gas workers who then either
25 have a visualization, who then either look through an

1 apparatus like Google Glass and basically visualize the leak
2 directly, or have a notification system on an iPad or an
3 iPhone to show them the actual leak image.

4 We have one enabling technology.

5 Thorlabs. A lot of the laser work today has been
6 done in the 1.6 micron range. That's good because the
7 lasers are very cheap. It's what telecom lasers use.
8 Except that for both methane and ethane, the 3.3 micron
9 range is vastly more sensitive. For methane it's about 200
10 times better than a 1.6 laser. For ethane it's about 6,000
11 times.

12 The problem is that there's just not high demand
13 for these, and they basically cost about 20,000 bucks today.

14 We're funding Thorlabs to basically commercialize
15 a tunable vertical cavity surface emitting laser affixal for
16 a couple hundred dollars, and the application could
17 potentially be employed in some technologies like PSI and
18 AERIS, but has very strong absorption bands.

19 So that's a snapshot of our 11 technologies of the
20 MONITOR portfolio.

21 We are also funding a test facility.

22 Unfortunately, I can't -- we released a funding
23 opportunity announcement about that earlier in January and
24 we're hoping to make that announcement very soon.

25 But one of the things with RP is that we don't

1 just fund research for research sake. Everything that we
2 fund we have to ask the question, if it works is it going to
3 matter?

4 And what we want to do with this test facility is
5 actually prove these technologies in a realistic simulated
6 well pad environment and potentially extend it even farther
7 downstream.

8 One, to make sure that the technologies hit the
9 metrics that we've tasked them with, but two, to engage the
10 broader community, both industry, the regulatory community,
11 because we want these technologies to actually go in the
12 field, and the only way you can do that is to actually test
13 them under real world conditions.

14 So that should be announced shortly. Testing we
15 hope to commence at the end of this year.

16 I will note prioritization will be given to the
17 MONITOR technology portfolios, but it is likely that other
18 technologies will also have the potential to use the site.

19 This is a stylized layout of what it might look
20 like. Again, several simplified well pads, and getting more
21 complex over time.

22 And as I mentioned, really we don't want to do
23 this in a vacuum, that's why we try to get out. My
24 colleague, Brian Wilson, and I try to engage the community
25 in a very robust way. We connect with all sectors of the

1 oil and gas industry.

2 This program is focused on the well pad but we do
3 think that the applications will span the well pad all the
4 way down to the burner tip.

5 We engage the environmental community. EDF has
6 been great partners with us, they've done great work, very
7 complementary programs.

8 And then we've really done a big pulsing the
9 regulatory community. I think it's important. There's been
10 reference to several of the state regulatory actions today,
11 also EPA's new source performance standard.

12 And what we want to do is we want to make sure
13 that the technologies that are coming out sooner than we
14 think have an opportunity to deploy for regulatory purposes,
15 and we don't want anything to be boxed out.

16 And while there has been a step change from Method
17 21 to optical gas imaging, we think the technologies of
18 tomorrow are vastly superior in a number of ways, not just
19 in fidelity but also cost, and if we can bring those down we
20 stand a much better chance of more ubiquitous deployment.
21 And on that note, we have sponsored work with the Interstate
22 Technology and Regulatory Council. It's a group called the
23 ITRC, which basically pools resources from state regulators
24 for complex technical challenges.

25 And we've tasked them to create technical and

1 regulatory guidelines that essentially come up with a
2 methodology to compare apples to oranges technologies,
3 because the imaging camera is vastly different than a system
4 of point sensors with an inverse dispersion model, and we
5 want to make sure that those technologies can compete with
6 OGI and others, and ITRC over the next year will come up
7 with a methodology that will be available to both state and
8 federal regulators to help onramp these technologies and
9 show that there is at least equivalency if not superiority.

10 Lastly, we've done a lot of work with BLM, EPA,
11 and others to make sure that we have this technologic
12 onramp, but policy and technology, they influence one
13 another and eventually, as was talked about, there's fat
14 tail for sure, but 50 percent of methane emissions come from
15 other sources, and what we want to do is we actually want to
16 move away from just detection to a quantification regime
17 that allows you to prioritize which leaks are worse and fix
18 those accordingly until we can actually get down to the
19 smaller leaks.

20 And so we've been really pushing that we want to
21 move toward not just concentration thresholds but mass flow
22 thresholds and continuous monitoring.

23 With that, here's a quick timeline of where our
24 program stands.

25 We're one year in, as I mentioned, especially with

1 the technologies in the room but then even others in the
2 portfolio and made great progress over the previous year and
3 I look forward to even better progress over the next two.
4 I invite questions, comments and partnerships both on the
5 technologies. Happy to put you in touch with any of our
6 performers.

7 Also, if you want to talk about the test site
8 facility and how you all might get engaged, I'd be happy to
9 take questions on that as well.

10 Thanks.

11 (Applause)

12 MR. O'CONNOR: Well, that was an impressive list
13 of technology. I don't really want to wait for questions
14 until the end because it could be hard to remember
15 everything that Nate said, so if anybody has any questions
16 about any of the technology that he talked about, we could
17 take a moment to ask him now.

18 Nate, which one's your favorite? Which is the one
19 that's going to save the world?

20 MR. GORENCE: I have two children in here so I
21 can't really choose.

22 MR. O'CONNOR: Got it.
23 Anybody have any clarifying questions? You have to speak
24 into the microphone.

25 MR. PARSONS: Are you currently with anybody

1 that's using wireless HART self-organizing mesh networks for
2 gas detection?

3 MR. GORENCE: Both IBM and PARC have wireless
4 self-organizing systems.

5 MR. PARSONS: And are they using the ISA 100
6 standard or the WiHART standard?

7 MR. GORENCE: I actually don't know the specific
8 answer to that.

9 MR. PARSONS: Thank you.

10 MR. ZENG: This is Yousheng Zeng with Providence.
11 I have a question about the laser that was going to be
12 developed by -- I don't remember the company, Thor?

13 MR. GORENCE: Thorlabs?

14 MR. ZENG: Yeah. You said it's tunable, and is the
15 intention to be just a very narrow beam or is a wider range
16 flood of laser to cover larger area.

17 MR. GORENCE: It's going to be tunable for a
18 larger area.

19 MR. ZENG: I think the purpose of having that is
20 to be able to do all those optical related to the technology
21 using that laser, but if it's a larger area is there any
22 concern about eye safety and all that other things?

23 MR. GORENCE: That's probably a question best
24 addressed offline.

25 MR. ZENG: Okay. Thank you.

1 MR. O'CONNOR: Okay, great. Well, barring no
2 other clarifying questions at this moment, we're going to
3 move on to Dr. Lance Christensen.

4 Dr. Christensen, he's been at JPL for 13 years as
5 a principal investigator of the airborne laser infrared
6 absorption spectrometer instrument, and has participated in
7 seven NASA sponsored field campaigns studying atmosphere
8 chemistry and processes.

9 He's also part of JPL tunable laser spectrometer
10 team which measures methane on MARs and from the Curiosity
11 Rover.

12 He's a PI of the open path laser spectrometer for
13 methane, which is also currently being field tested.
14 So, Dr. Christensen.

15 DR. CHRISTENSEN: So what I want to propose is
16 that this project is about making parts per billion methane
17 measurements anywhere with affordable platforms. So it
18 isn't about drones.

19 It's about making a point source measurement of
20 methane wherever you want it to be, in a low cost repeatable
21 robotic fashion, so that's what we're really going after.

22 And so this research has been funded by the PRCI,
23 which is a consortium of energy companies, and the ones that
24 have been particularly involved in this are PG&E, SoCal Gas,
25 and Chevron.

1 And if you have any questions, please feel free to
2 contact myself or the program manager, Cary Greeney, of
3 PRCI, and I have a booth out there if you want to talk more.

4 So where this comes from is, I work in the group
5 that it turns out that we want to measure methane on Mars,
6 and the purpose there is, is it life or is it coming from
7 some sort of rock reaction.

8 To get there, NASA had to invest in making
9 tunable -- they invested heavily in laser devices that could
10 operate at thermoelectric coolers, so you didn't have to
11 have liquid nitrogen cooling. So I think NASA can take
12 partial credit for helping push the laser technology to
13 where it is now.

14 Also, to land these things on the surface of Mars,
15 it's over 100 Gs and you can't go back up there to realign,
16 so there's a lot of engineering that I've sort of borrowed
17 from my project.

18 An interesting corollary here to some of the
19 attribution studies is that we also for the Martian studies
20 wanted to get at the attribution, and one way we could do it
21 is through ethane. In that case, it turns out rock
22 reactions, they produce C₂, C₃, C₄, so if we measure ethane
23 on Mars we can help attribute that it didn't come from life,
24 so it's an interesting corollary to the studies that are
25 going on here.

1 Some background.

2 We started the PRCA project back in 2014. We just
3 took an open path tunable laser spectrometer. Again, the
4 point is that we're trying to get rid of instrument response
5 functions. We want it to be indicative of the parcel of air
6 without having been sucked in by a pump, without delays in
7 your measurements. You can just think of it conceptually as
8 that is the measurement of that point without having to
9 multiply it by some instrument response function.

10 The second thing is that we wanted this to be as
11 small as possible. It was always the vision back in 2014
12 that we did want it on UAVs, so it was always push things as
13 small as possible.

14 And as I get more and more involved with the FAA
15 and the NASA airborne programs is that the smaller you make
16 this thing, the less chance that does damage to people,
17 infrastructure. It's easier to base a service company
18 around a smaller, less infrastructure, less amount of --
19 it's much easier to operate smaller UAVs. So that is sort
20 of the guiding principal why we're trying to shrink this as
21 much as possible.

22 One thing I want to clarify is that these midair
23 lasers these days are on the 8 to 9K per unit and it
24 estimates around 3 to 4K if you buy about a hundred. So
25 it's starting to get into the reasonable cost range given

1 their capability.

2 So the vision. Again, it's the smallest UAVs we
3 can put them on, and the vision here was that back in 2013
4 we did this study at a storage facility out in Wyoming
5 called RMOTC, so that's where we got this idea of go from
6 well pad to well pad and try to survey as many wells as
7 possible in a given amount of time.

8 At that point this whole UAV drone thing, all the
9 capabilities has grown exponentially. At that point there
10 wasn't a company out there that provided a self-recharging
11 platform, so now there is.

12 You can actually think about landing it on some
13 charging pad, charge up the batteries and redo it, so you
14 can have a completely autonomous system that's monitoring
15 your facility.

16 So again, it started out in 2014 with hand held
17 unit which we field tested at the PG&E Livermore facility,
18 and so I have this little movie here to illustrate an idea
19 of the work we're doing and some of the rationale for why
20 we're doing it.

21 So anyway, the point is that we start off walking
22 around with this hand held unit. The hand held unit makes
23 measurements on the tens of parts per billion level per
24 second.

25 And in these complex neighborhoods you always have

1 to have ancillary measurements, and the most important
2 ancillary measurement is probably the winds, so back
3 calculate where most likely the leak is.

4 So for these complicated environments with a lot
5 of topography, we do these back calculations and it points
6 absolutely the wrong direction. The real leak is around one
7 of those houses there, not way off to the left there.

8 And the point of that is that making these
9 measurements, even with these ancillary sensors like
10 anemometers, you can get easily confused where exactly your
11 leak is coming from, so we have to take this account into
12 your model.

13 And I know that was discussed ad nauseum today
14 (inaudible). That's something we're very aware of for this
15 project.

16 So as with any of these sensors, you have to do a
17 few performance metrics in the lab. We intercompare them
18 with the gold standards like the Picarro and the LGR. We
19 put them outside on the roof. With the Picarros and LGRs
20 you have to have an inlet, put that in front of the inlet.

21 One thing that our end users and people who end up
22 thinking about commercializing this want is measurement from
23 tens of parts per billion all the way up to percent, so that
24 puts a -- it causes more design constraints in this
25 instrument.

1 So they want to use it not only to stick it on a
2 quad and fly it downwind and find where a leak it; it's they
3 want to grade, do a bore hole and then see if there's if you
4 can grade the leak, so this one instrument has to
5 accommodate all these desires.

6 So where we're at right now.

7 So we started the UAV portion of this project
8 earlier this year, and so far we have mounted it on a couple
9 different UAV platforms. One is the Procerus Indigo and the
10 other one is a 3DR platform.

11 The reason why we chose the Procerus Indigo is
12 they can fly about 45 minutes with the payload, so that
13 gives you a lot more capability. You hit a button, wait 45
14 minutes for it to do it's waypoint measurements, mass
15 balance, or whatever you choose, and then you've got 45
16 minutes worth of data repeat.

17 So it's a really good way of iteratively studying
18 the stochastic processes and coming up with good models for
19 some of these things, and I'll point out one of the
20 important models that we're trying to address later.

21 The 3DR platform, that's open source, so we can
22 get in there.

23 It turns out for all these UAV measurements,
24 having the capability to dig into the code, stick in your
25 own sensors -- like in our case we're finding that you have

1 to have LiDAR or sonar, or you want to add some sort of
2 avoidance detection, and so you may want to institute that
3 in the high frequency common filter, or you may want to push
4 that back a little bit. Like you don't want to have it at
5 that level, you want to have it just not impact the IMU type
6 control.

7 So we need to have that flexibility to figure out
8 where exactly do you put these ancillary necessary sensors
9 into a UAV, so that's why we do the open platform or the
10 open source code, and Merced is very good at that.

11 So one of the first questions that always gets
12 asked of me is, yeah, you're flying on a quad, the prop
13 wash, it's going to screw up your point source measurement.

14 So that was one of the first things we addressed.
15 So PG&E funded this work and it was done at UC Merced, and
16 we purposely placed our sensor at some location outside the
17 prop wash where, again, the props don't affect the
18 measurement. There's no instrument response function that
19 we have to account for. And we've done the verification
20 with this with detectors out in the field.

21 For every platform we believe there's going to be
22 a slightly different location you want to place the sensor
23 under certain wind conditions.

24 So in this case for the 3DR you want to place it X
25 amount of positions from the center of mass. Always have it

1 pointed into the wind, and the wind has to be a certain
2 speed. And in those conditions it's essentially a point
3 source going around and through the space with the
4 measurement.

5 So this is an indication of where we're at in
6 terms of performance for this system. I guess on the to do,
7 11 parts per million scale, that's the upper left there.
8 What that shows is us circling to calibrate what we're
9 seeing there. We have a leak 35 meters away. The leak is
10 6.4 standard cubic feet per hour. And we keep on circling
11 this leak, and every time that we get downwind of the leak,
12 we should get a hit.

13 So I sped this up a factor of three. The thing
14 doesn't move this quickly.

15 So the yellow thing is just a forward trajectory
16 of where the plume is relative to the source, and we're just
17 circling around this plume.

18 You can see that every time we hit the plume, but
19 sometimes you're in a grade area underneath it is small. In
20 this case that blip is several hundred parts per billion.
21 That's 500 parts per billion peak. Sometimes it's huge.
22 But the great thing about having this robotic system is that
23 you can just keep on iterating on this. So for these
24 stochastic systems where you have to build up a large
25 dataset to describe these PDFs and stuff, this robotic

1 autonomous system lends itself to developing parametric
2 stochastic models to describe your data.

3 The point of that is that eventually you want to
4 get to that state where, like was said earlier, how many
5 times do you have to be in the vicinity of a leak to get a
6 95 percent confidence level that you have actually assessed
7 whether it's leaking or not? So that's what the point of
8 these studies are.

9 So again, the first thing we tackled with the UAV
10 was stick it on a 3DR and just see how far downwind from a
11 leak we can see, how far can you see the leak downwind.
12 And so these environments are a lot different from the
13 earlier environments I showed where we're in a fake
14 neighborhood where it's coming out and there's energy
15 deposited by the fences and trees and whatnot and spreading
16 out the lateral and height distribution.

17 This is an open field, and so given a 5 standard
18 cubic feet per hour leak, you can go hundreds of meters
19 downwind and still easily see the leak. In these sort of
20 open environments it's easy.

21 The problem now then becomes -- before I go on to
22 the problem, first this gets at this point of having the
23 ability to not worry about the instrument response function
24 of the instrument. That is, if you're sucking in the air do
25 you have to worry about the integration or the residence

1 time of the gas inside the instrument.

2 Again, we are at least conceptualizing -- and
3 somebody can prove me wrong -- that it's an instantaneous
4 point source measurement. And so at 50 meters away you see
5 these leaks are very sharp.

6 At 280 meters away, the leaks are very -- the
7 level of sharpness is much less. You can leverage this
8 information and try to figure out where exactly you are in
9 respect to the leak. So that's another area of study that
10 we, now that we've got the system up and running, we hope to
11 make something of this.

12 A very important point of our measurement set now
13 is the vertical aspect. We're not going to be always in
14 open fields. We need to be above tree lines. We have to,
15 at some point that plume has to come up and we have to be
16 able to assess it. So we go 280 meters down we do do
17 vertical transects, and what we find is it hugs the ground
18 basically. It stays within 5, 10 meters. At 300 meters
19 down there, it's still relatively low.

20 There are, as I'll show later, cases where that
21 plume gets pushed up, so this impacts how we think of the
22 operation. Hopefully in these cases where you have not a
23 whole lot of topography to generate uplift of the plume,
24 you're going to have to hug down low.

25 And then also we're going to have to start

1 examining through modeling or through these experiments what
2 does topography -- how much vertical uplift do these
3 features add so we can assess whether there's a leak or not.

4 And to show some of the strategy that we employ
5 here for our measurements.

6 If you're driving a car with a Picarro in it, I
7 would guess that you try to do the measurement when you have
8 the air column's down, everything's hugging.

9 For this, for this UAV, you have trees and you
10 have to fly high, you want to go the opposite of it. You
11 want a lot of solar insulation. You want a lot of surface
12 roughness. You want to go during those times of the day
13 when you have uplift and the atmospheric stability class
14 goes toward A.

15 And another thing that these (inaudible) models
16 tell you is that you have to go -- under the typical
17 stability classes that we measure on, so far in between
18 January and now we've been looking at B and C type stability
19 classes. We have to go 300 meters down to see a vertical
20 uplift in the galcian terms of 30 meters.

21 So this description, if you extrapolate that back
22 to 100 meters, we're talking about 10 meters of uplift at
23 the 1SD level. That's telling you at 15 you're going to
24 really encounter that plume a whole lot.

25 However, that's not the case. We find that when

1 we go down 50 meters we do oftentime run into plumes at the
2 15, much more than a galcian distribution indicates. So we
3 talked to modelers at JPL who do LES modeling, and it turns
4 out that JPL and NASA invested a lot in convection surface
5 roughness modeling to get at this GCM type characterization
6 of pushing boundary layer air up.

7 And they want to think it from the global
8 perspective. There's just a few more percent air from the
9 boundary layer getting pushed up. That has huge global
10 implications for inverse modeling.

11 Here what we want, we want to use the same models
12 to tell how often are we going to run into a plume that's
13 been pushed up by convection.

14 We've now got the system online, and the point I'm
15 bringing up here is that now we're starting to investigate
16 these phenomena.

17 So the conclusions I have.

18 We've now flown this 250 gram instrument on two
19 different commercial UAV systems. We've demonstrated that's
20 around 20 part per billion per second noise.

21 We do anticipate that we want to have a plug-and-
22 play system for an UAV, not just limited to these two UAVs,
23 but you can put them on whatever service provider or energy
24 distribution company, whatever UAV they choose.

25 One thing I didn't talk about is that not only are

1 we planning to work on VTOLS, but it's also fixed wings and
2 hybrids, because they have much longer persistence.

3 The capabilities again got changed exponentially,
4 so now you have both a mixture of fixed wing and VTOL. They
5 combined the best attributes in both, and so we're working
6 with some companies to utilize or leverage those strengths.

7 I also want to emphasize that now I think that we
8 have the OPLS instrument working. We can start to perform
9 iterative experiments. We can start tackling those really
10 interesting problems like surveillance, localization and
11 quantification. So hopefully by next year we'll have plenty
12 of this data to talk about.

13 Thank you.

14 (Applause)

15 MR. O'CONNOR: Great, thank you. I think we're
16 going to stop and see if there's any clarifying questions
17 from the audience. We do have one from the web, so before
18 we get onto our final speaker, I'm sure he's the fourth
19 speaker of the fifth session of the day, he can't wait to
20 get going. But the question from the web to Nate.

21 So did DOE select for the third party evaluator for the
22 ARPA-E MONITOR and when will the test site be running?

23 MR. GORENCE: Unfortunately, I can't release the
24 name of the selectee yet. An announcement will likely be
25 made shortly. We hope to get the test site up and running

1 by the end of this year.

2 MR. O'CONNOR: Excellent.

3 Were there any clarifying questions for Dr. Christensen?

4 Okay.

5 So without further ado, Chris Rella, who is a
6 research fellow at Picarro who is the primary focus on the
7 development of mobile atmospheric measure technology
8 solutions for the natural gas industry. He has a PhD in
9 physics from Stanford University.

10 And Chris, they're all warmed up for you, so I'll pass it to
11 you.

12 I am all that stands between you and Happy hour,
13 so that's the bad news.

14 The good news is that all the speakers today,
15 we've had 19 of them, they've done a lot of the heavy
16 lifting for me, I can almost skip right to the conclusions.
17 I won't because I spent so much time on these slides, but
18 it's really important to me that you see them all.

19 Before I continue, I want to thank especially
20 there are a lot of people both in Picarro and outside who
21 have helped out, people from NOAA, a list of different
22 places. I want to highlight two in particular.
23 One is EDF, who funded us to work in the Barnett shale,
24 which you saw some this morning and you'll see a little bit
25 more now.

1 And PG&E, who were so generous and supportive of
2 us as we've tried to develop our technologies to solve
3 problems that they face day in and day out.

4 Everyone had a map like this, I got a map of the
5 natural gas production and distribution system.

6 I think I like the idea of a tiered network. It's
7 like a layer cake and we're one layer of the cake. I've
8 been focused on ground-based measurements so that's my
9 hammer and I'm going to be looking for nails that I think
10 can shed light on some of the problems we face as we try to
11 deal with the problems in this infrastructure.

12 The key challenge that I think we're all facing is
13 not just -- I really like what Adam said, it's not a
14 detector, it's detection. And it's not detection of methane
15 and PPM, it's detection of emissions and kilograms per hour
16 or whatever units you like, and as you think about that
17 challenge, how are you going to do that?

18 You need some way of getting at this really
19 dramatically large structure. There's half a million wells,
20 there's millions of miles of distribution line, so you have
21 a scalability challenge, and that's what I have at the top
22 of the slide.

23 So we think we have a technology that we're
24 deploying and have been demonstrating for the last couple
25 years. I work at a company, we have to have acronyms. Ours

1 is MFP for mobile flux plane. This technology is used to
2 quantify the emissions from all of these point source leaks.
3 Why is methane and why in the natural gas are they point
4 source leaks?

5 Well, as I like to point out, unlike coal, you
6 can't make a pile of methane. You have to put it in a
7 container and if there's a little pinhole in the container,
8 it's going to come out.

9 Now, our container is huge and multi-various in
10 all its forms, but it's a pretty good container so it comes
11 out in these little leak points, and that's what we need to
12 find, the constellation of little and big leaks that
13 contribute to the problem.

14 So I'm going to highlight three areas of the
15 production and distribution system.

16 One are production well emissions, that's the Barnett study
17 you heard about earlier.

18 I'm going to focus on downstream emissions in the
19 downstream system.

20 And then I'm going to look at underground storage
21 emissions. And I have no idea why they used a park with two
22 trees as the icon for underground storage, but they did and
23 I like that slide so I'm going to go with it.

24 So what is the mobile flux plane method?
25 You've seen a lot of mass balance talks today so I don't

1 need to talk to you about having -- you measure the gas
2 coming into a volume and out of a volume and you can count
3 up the molecules.

4 We just don't instead of in the air like Steve
5 did, we do that on the ground, and so we have to make our
6 own plane. We can't drive the car high and low, so we have
7 inlets on a pole on a mast that we then use to gather the
8 methane and make a picture, an image of the plume that we
9 transect.

10 This is just you see here when you're near the
11 leak the concentration can be very high but it's in a very
12 small volume because the plume hasn't spread yet.
13 As you go further and further downwind, as you saw in the
14 last talk, the concentration goes down, the plume gets
15 bigger. But in these slices of planes, the total amount of
16 methane hasn't changed, it's the same amount going to the
17 surface. So if you can quantify the amount going to the
18 surface, you're going to get a pretty good emission rate.

19 Another picture. There are four key elements of a
20 flux plane.

21 You have to have horizontal and vertical special
22 specificity. The vertical comes from the inlet position.
23 The horizontal comes from the GPS.

24 You need to know the wind because that's what
25 carries the molecules through your surface and that's from a

1 sonic anemometer we have mounted on the vehicle.

2 And then you have to measure the methane. You can see in
3 there I have a Picarro. Keep in mind I work at Picarro, so
4 we use them to hold open doors and prop up our monitors.
5 But I want to highlight that you can use a lot of different
6 methane measurements.

7 You're seeing, I think in this session and in
8 others, methane measurements will become a commodity, if not
9 this year the next. If not next year, the year after that.
10 We know that as well.

11 What we're really looking at is how do you employ
12 these detectors to come up with an emissions detection, and
13 we think we have a pretty good way to do that.

14 So this is Version 1. We had six different inlets
15 and we took the gas into tubes. No one vented them, they're
16 called air cores. And then we measured them one by one.
17 And as you drove through the plume, you snapped some valves
18 and then you can measure them and it took about five minutes
19 to do the analysis.

20 And this is what we did in the Barnett. That's
21 what it looks like. Our mechanical engineer was a wind
22 surfer, so yes, that's a wind surfer pole on the front,
23 which I thought was pretty cool.

24 So when you take a measurement, this is an example
25 of measurement of a plume. The source sits down low near

1 the ground, so we are pretty close to it so the plume was
2 also near the ground.

3 And at the bottom of the slide you can see there's
4 a very simple equation, at least it's simple to me. you're
5 going to integrate over this image. That's that middle
6 term, C of xyz. You're going to subtract off the
7 background. We get that from the edges of the image. You
8 multiply by the wind through the surface, and then you get
9 the emissions.

10 It's important to remember there's no calibration
11 parameters, there's no free parameters, there's no
12 atmosphere transport model, no inverse modeling. It's a
13 very simple direct measurement of the number of molecules
14 that went through the system. That's why people like using
15 mass balance.

16 Before we went to the Barnett we wanted to make
17 sure this thing worked, so together with Eben Thoma at the
18 US EPA in North Carolina, we went out into several different
19 places, fields, packed earth, and pavement, and released a
20 known amount of methane and then we went to see if our
21 system measured the same known amount of methane, and it
22 does. There's a nice picture there to show that it does.
23 The mean is about within 10 percent of 1 ratio.
24 It's a bit noisy because the atmosphere is a noisy thing.
25 Sometimes it carries a lot to you, sometimes it doesn't give

1 you as much, so you get about a factor of 2 on either side,
2 but otherwise it's quite accurate.

3 So then we went into the Barnett. I won't show
4 you too much about this, you've seen this before. This is
5 part of that coordinated campaign that EDF did such a good
6 job funding. It was very nice, and I'm not just saying that
7 because Jim's sitting over here.

8 And so the goal that we had, our piece of it was
9 to try to -- there are roughly 18,000 wells here. We wanted
10 to select as randomly as we could -- we didn't want to just
11 go for the big ones -- but as randomly as we could we wanted
12 to pick over a hundred well pads and try to measure the
13 emissions from them, and we were able to do that.

14 So we got 115 wells from which we got measurements
15 and then about half of that number, about 60, we didn't see
16 any detectable emissions.

17 This is a histogram of them. The blue is the
18 actual data. And you can see that we saw some wells all the
19 way down at just a fraction, just 20 grams per hour. That's
20 roughly our detection limit. All the way up to 50 kilograms
21 per hour.

22 The reason we were stuck with 115 and not more is
23 that five-minute time period, and we because we had to be on
24 public roads that were downwind of well pads, and lots of
25 them weren't close enough within about a hundred meters for

1 us to measure, but this is a very, very wide distribution,
2 ranging from .1 to 20 or more kilograms per hour.

3 So I'll do the same plot everyone does, but mine's
4 upside-down. I always make my fat tail go this way so you
5 have to stand on your head if you want to see it the old
6 way.

7 And so it is a pretty fat tail. This includes the
8 ones that didn't have any detectable emissions, and half the
9 emissions are from 6, 7 percent of the sources. It really
10 is an 80/20 rule in this case, 80 percent from 22. And then
11 half of the well pads contribute less than 2 percent and you
12 can ignore those.

13 So I think this highlights, and I'm not going to
14 beat this dead horse. Finding the big ones, fixing them is
15 a really productive way to reduce emissions and save
16 product, so that's one of the things that we liked about
17 this study.

18 So I'm going to move on to the distribution
19 system, and the distribution system is in some ways harder,
20 we don't know where the well pads are, you can't see them
21 with your eyes. You don't know where the leaks are in the
22 downstream system, so we need again a scalable way to
23 measure emissions.

24 Now we didn't want to live with this five minutes,
25 so we had to work on something faster, so we ended up

1 working on Version 2, which is a real time flux plane
2 measurement.

3 So now because I really like inlets, I put 16 on
4 this mast and I combined them into a single analyzer. I
5 lose the vertical resolution on seeing what the plume looks
6 like, but in the end I'm only going to put it into a -- I'm
7 going to do an integration at the end vertically, so rather
8 than do that digitally in a computer, I did it in analog
9 form by combining the gas streams in a specific way.
10 So I do the vertical integration automatically in analog and
11 then do the normal digital one in the instrument so I can
12 get, again, to a flux measurement.

13 We want to test this again now. Downstream has
14 trees and has houses, so the winds aren't the same as an
15 open field, and I think you saw that in the last talk as
16 well. We wanted to make sure we can still do these
17 measurements in a real environment.

18 So this is the vehicle. You can see the 16 inlets
19 on the front, and somebody handsome driving it and it's not
20 me, so I'll just say that right now.

21 It takes about ten seconds to drive through the
22 plume and make a measurement, so this is PG&E's test
23 facility in Livermore. Thank you very much, PG&E. This is
24 a very, very handy facility. It's basically a mock
25 neighborhood with very small houses and fence and things

1 like that with leaks located around it. The nice thing
2 about it is we can put in a known amount of methane and
3 measure what comes out and see how well we do.

4 So this is rank ordered by the flow that we put
5 in, anywhere from about half to five or six standard cubic
6 feet per hour. And you see that the black dots are the
7 actual data and the green dots are what we measured.
8 You can see generally we do pretty well. Sometimes we
9 underestimate, as in Leak Number 3, and we rarely
10 overestimate.

11 So why is that?

12 Well, we did learn a little bit more about it, and
13 it's the kind of problem you might imagine.

14 So this is now looking at these same data now as a
15 function of distance from the leak, and you can see that
16 when you're very close to the leak, maybe about 50 feet, 75
17 feet, you get the full plume capture. The plume is captured
18 fully by our 10, 11 foot mast. It doesn't go overhead so we
19 catch all the emissions.

20 When you're greater than that, then the plume goes
21 overhead. The red line is a galician model to say roughly
22 how much should go overhead. But of course you have
23 structures and buildings which are going to accelerate the
24 mixing, which is why we tend to see it a little bit lower.
25 But still you get greater than 40 percent plume capture out

1 to a couple hundred feet.

2 And if you think about 40 percent, when the
3 emissions can range over factors of 10 or more, that's a
4 pretty decent estimate of the emissions.

5 So once we validated it, we went out into PG&E
6 territory again. That was very kind of them to let us do
7 that. Where it's located in Santa Clara there right in the
8 middle because we didn't want to drive far.

9 But we looked at these areas in red. There's
10 about 16 square kilometers, and what we did, we didn't just
11 go to find where the leaks were. We drove every single
12 street 20 times because we're trying to get too much data.
13 It took us a couple weeks, and in that process we found
14 using our detection algorithms, we found about a hundred
15 different leaks, which adds up to 1.4 hours of leak,
16 including all the time we're driving where there are no
17 leaks and the fact that we drove by each leak 20 times,
18 which we don't really need to do. About 5 is probably
19 plenty.

20 So the first thing we did was total it up. So if
21 you take the total emissions and you take our uncertainties,
22 including the fact that at distance we tend to underestimate
23 and we rarely overestimate, then you get something about 80
24 standard cubic feet per hour from these 16 square
25 kilometers, or 5 standard cubic feet per hour per kilometer

1 squared.

2 That's just kind of an emissions factor for those
3 areas. We can see how quickly you could imagine doing this
4 throughout the distribution system very efficiently.

5 So I'll then take these 104 leaks and put them on
6 a cumulative distribution plot. The data is in black and
7 the Lamb et al Washington State paper which we've heard
8 referenced earlier, for plastic mains and plastic services
9 are shown here in the two colors of blue, dark blue and
10 light blue, and you can see that our measurements are right
11 in between.

12 It kind of makes sense, we're measure ingredient a
13 combination of leaks the main, leaks on the services and
14 ever meter sets, which are not in that study, so it's not an
15 unreasonable set of measurements.

16 But now let's do again my inverted fat tail. In
17 this case it's the black again, so the blue and the two
18 blues are from the Lamb paper.

19 The tail is not quite as fat. It's not really a
20 super emitter kind of a situation, but it's still a pretty
21 skewed distribution. So 40 percent of the emissions are now
22 from the top 10 percent of sources, and then half the
23 sources account for 80.

24 So that's, again, an interesting commentary on if
25 you're going to prioritize repairing, it would be good to

1 prioritize to repair the ones that are leaking the most, and
2 we think that's a very powerful way to save product and
3 reduce greenhouse gas emissions, so it seems like a win-win.

4 So finally, just because of the timeliness of
5 storage facilities, I wanted to highlight what this
6 technology might be able to do on a storage facility.
7 And again, to PG&E, thank you. They let us drive on their
8 Los Medanos underground storage facility, which is really up
9 in the hills not so far from here, you can see in the
10 picture in the upper right. There are several injection
11 well pads dotted over this hillside landscape of about a
12 kilometer. I'll zoom in on just one of these.

13 You can see -- Tracy. Tracy Thai is in the
14 audience and she drove all those circles, so I think she got
15 pretty dizzy. So this is Steve Conley's circles now at a
16 really, really small scale where you're just driving around
17 the individual well pads.

18 But we know when you're thinking about an
19 underground source facility, there's not only the injection
20 wells but there's also all this other, there's compressors,
21 there's other equipment there that can be leaking methane
22 and you don't want it to confuse your measurements to say,
23 hey, I see methane when of course the operator will say,
24 yes, you should, it's right over here being emitted from
25 this pneumatic valve. In this way by driving around

1 specific aspects of the infrastructure you can measure the
2 emissions.

3 So the little colored arrows you see there are
4 scaled by relative emissions on a long scale, so blue is
5 fairly small at our detection limit of just a couple grams
6 per hour, all the way up to larger.
7 And as you highlight, so the yellow arrow is kind of pointed
8 to this well pad because you see upwind of it there are no
9 emissions.

10 The scion arrows maybe are suggesting there's
11 emissions here, given where you do and don't see emissions,
12 and then maybe there's a small emission here.

13 So from this kind of data, and this only took I
14 think about an hour on this specific well pad to get this
15 data. And again, it's oversampled. I think we drove more
16 than the 120 times that Steve flew around his. You can get
17 a lot of very interesting measurements.

18 So I think I'll stop there. I dare not go longer.
19 I want to thank you for your time and thank the organizers
20 for the invitation to come speak.

21 (Applause)

22 MR. O'CONNOR: Thank you, Chris.

23 So I think at this point we're going to jump into
24 the Q&A section for this session, and then after that we'll
25 have a wrap-up session for the day. So if anybody has any

1 questions for any members of the panel, be happy to take
2 them now.

3 Okay. I have one here. Oh, Elizabeth, you have
4 one? Okay.

5 MS. SCHEEHLE: I had two different questions
6 related to how some of the technologies might work in
7 California fields, considering a couple of different things.
8 One, what's important in California is also the UFC's as
9 well as (inaudible) methane which is that's what we're
10 looking at for this. But I'm also curious if any of the
11 technologies also looked at VFC and how we can incorporate
12 some of what we're doing for ozone purposes for methane.

13 MR. O'CONNOR: Who wants to take that one?

14 MR. CHRISTENSEN: The tunable laser spectrometer,
15 you know, the C2's, the larger the molecule you'll get, the
16 more difficult it becomes exponentially to measure. So say
17 the Picarro LGRs, those higher alkanets are going to be hard
18 to measure.

19 MS. SCHEEHLE: And the other question I have was
20 related to the density at California fields. A lot of the
21 fields here are more dense than they might be in other
22 places, so I was wondering if you took that into account of
23 how that might play with some of the different technologies.

24 MR. RELLA: I can answer that, at least from our
25 side.

1 As we think about, the disadvantage of ground
2 vehicles, you have to have a vehicle and someone to drive it
3 now, although Google is trying to change that, of course.
4 But the advantage is that there are lot of utility vehicles
5 already being in play in these areas, and if you can think
6 about deploying these kind of sensors on the vehicles, you
7 can actually get a lot of unintentional but very useful
8 transects across different areas.

9 And if you can imagine if you have several wells
10 within a certain region, if you've at least localized it to
11 that, then you can say, hey, somewhere in this 10 by 10
12 meter are you've got a pretty big leak you better take care
13 of.

14 So I think, again with the tiered approach, the
15 ground level technology seemed to have at least a place to
16 play in that arena.

17 MR. GORENCE: I'll just echo. I mean, if you can
18 incorporate some of the point sensors into the work
19 practices on the field today, that's one avenue.
20 I think also in particular a couple of our log path
21 technologies like UC Boulder and then some of our
22 distributed network systems, they're ideal to over a densely
23 packed field of equipment or wells.

24 MR. O'CONNOR: So I have a question.

25 When you think about methane detection equipment,

1 the cost has been coming down over time, and we heard a lot
2 of your discussion, Nate, about the ARPA-E, you talked a lot
3 about lower and lower cost and smaller and smaller.
4 How far down the cost curve can we get with this technology?
5 I mean, Chris, there's a natural sort of conclusion point
6 for how cheap a car of instruments can get because of all
7 the analytics that go into it.

8 Or Lance, in terms of your work with Mars, you
9 probably can't get that cheap.

10 How inexpensive are we talking about this is going
11 to become in the next five to ten years?

12 MR. RELLA: Well, at Picarro the way I look at it
13 is -- and I think, again, Adam brought it up really well
14 earlier. It's not about detecting the molecules, because I
15 think you can do that quite cheaply and quite well, and it's
16 becoming more cheap and even better day by day, but it's
17 about interpreting that information in a way where you can
18 get some actionable information.

19 I think that the tricky part that a lot of the
20 ARPA-E companies are really grappling with is not only just
21 measuring it but interpreting it so that you can quantify
22 the emissions from an area or a point or a region, because
23 that's what matters.

24 Everything leaks a little bit, right? A molecule
25 of methane is going to come out of almost anything, but

1 being able to quantify how much is coming out is a tricky
2 bit. And so cheaper sensors help but it's really about the
3 analytics, how you deploy the sensors, whether it be on
4 drones, vehicles, planes, the long path. I think all of
5 these tools can get at what are the emissions, how do I find
6 out and in a remote reproducible way so we can go do
7 something about it, but also do it in a cost effective way.
8 So I think that's the part that's harder to deal with.

9 MR. O'CONNOR: I don't know if commodity prices
10 are around the corner for this, but I do think depending on
11 where you're actually measuring in the natural gas supply
12 chain, the work practices are very different. And as we
13 heard before, labor costs are expensive. It depends on what
14 type of vehicle you're deploying, what are the
15 communications? What's required for personnel oversight and
16 training? Do you have to drive a truck out there?

17 But I do think over the next couple years,
18 especially with the hardware, there is real opportunity to
19 hit economies of scale and really come down. And then to
20 the extent that you have autonomous vehicles or UAVs or long
21 path or distributed networks where you get a very large
22 denominator, the costs are going to come down very, very
23 significantly.

24 MR. NEWTON: Hi, Ed Newton, SoCal Gas. I wanted
25 to talk a little bit about the application for mobile

1 mapping technologies and leak quantification using mobile
2 technology specific for distribution applications within the
3 urban environment.

4 SoCal Gas has been working, of course, with
5 Picarro since 2012 and worked closely with EDF and Colorado
6 State University on the mobile methane mapping of the four
7 cities within our service territory, and we've consistently
8 seen in terms of correlation the results of the mobile
9 methane mapping technologies to actual leaks on distribution
10 main and service, including customer meters of about 40 to
11 50 percent correlation.

12 Leaks in the urban environment can be attributed
13 to activity within the population itself, and as we heard
14 today, emissions from appliances and yard lines, things that
15 are downstream of the meter, it's very costly as a utility
16 to follow up on that volume of indications.

17 Then from a leak quantification perspective, like
18 we heard from Lance and others, there's a lot of variability
19 in that environment that you have to deal with in terms of
20 quantifying and actually calculating emissions, and we've
21 seen that it is really difficult to get, when you're
22 comparing the results of those technologies to actual
23 surface expression measurements, we haven't seen yet a good
24 correlation.

25 So I was just wondering. I recognize that

1 advancements are being made all the time and there's a lot
2 going on in that space, but can you comment on any
3 advancements in terms of differentiating pipeline leaks from
4 leaks downstream of the pipeline and improvement of leak
5 quantification?

6 MR. O'CONNOR: Chris, Ed is saying that there's a
7 lot of false positives, so what do you think about that?

8 MR. RELLA: Sure. So I think the distribution
9 system and the leaks that come from it are embedded in a
10 pretty complex environment that has other kinds of methane
11 sources. So for one, you need to be able to distinguish as
12 best you can, either by space or by the other gasses
13 associated like ethane or isotopes or other gasses that
14 either coexist or don't with your natural gas, which one's
15 an actual natural gas leak under the ground versus a sewer
16 gas or some other source like that.

17 So we have technologies that do that. Others have
18 technologies as well, and I think technologies and tracers
19 in particular can help a lot along those lines now.
20 Upstream and downstream of the meter is a different
21 challenge, of course, because that's the same gas, just from
22 a different location, and I'm very interested to see what
23 Mark Fisher and other collaborators and folks working on
24 that learn about the emissions from within buildings and
25 within structures.

1 The only difference I see as I drive, if I have a
2 leak that's a point source, relatively close point source in
3 the open area between the vehicle and a building, it's going
4 to look different to my plume sensor being near the ground
5 versus what's coming out of a building which could tend to
6 come out of the air conditioning vents or the windows in a
7 more diffuse way.

8 So it may be able to be possible from, because we
9 have a plume image, to be able to tell from the image, well,
10 that's not a ground based leak plume, that's a building
11 plume, so I think that's one way you can maybe distinguish
12 that, but that's an open area for research.

13 As to the second question, I think you see some of
14 the ways in which emissions quantification are improving.
15 Our focus, and mine in particular, is driving toward better
16 and more accurate measurements of emission rate when you go
17 by a leak, because I think the real key is you don't want to
18 know about all the leaks in a system, you want to learn
19 about the big ones, and that's really not about
20 concentration, that's about emissions.

21 And it's a tougher problem, but I think we're
22 making strides. I think that's why we always go back to
23 these validation experiments where we're releasing a
24 controlled amount.

25 And I should have mentioned that we also did high

1 flow on the leaks presented in the PG&E test facility to see
2 if it matched with what we do. And in fact, it does in a
3 surprisingly powerful way.

4 But more work needs to be done there to really
5 validate the technology, so I agree with you there.

6 MR. NEWTON: Do you see the leak quantification
7 being applied initially to (inaudible) locations or trying
8 to quantify during the mobile detection phase of the
9 operation?

10 MR. RELLA: You're asking about the
11 quantification, whether we'd apply it to known leaks or to
12 fresh?

13 I think both ideally. There's a lot of benefit if
14 you have just randomly 100 leaks that you know about and you
15 only have money to fix 20 of them, well, wouldn't it be nice
16 to fix the 20 biggest if you have no other reasons other
17 than that. And this you could do, just drive around and
18 quantify the emissions from each of those 100 and say, okay,
19 these 20 are the ones I want to fix. So that's one aspect.

20 On the other hand, you can see what we were doing
21 in our area with the 16 square kilometers was just our
22 standing driving protocol, and the measurements just come
23 out for free. It's not anything special that we have to do.
24 I think that's also fairly powerful in understanding the
25 greenhouse gas impact of the distribution system in a way

1 that it would be very difficult to do any other way.

2 MR. NEWTON: That study actually shows you the
3 emissions from both parts of the system, not just the main
4 services, also measuring the downstream emissions from the
5 homes?

6 MR. RELLA: It's a good question. I don't know
7 the answer to your question.

8 What I do know is we don't quantify emissions from
9 landfills because we look for sharp features that are only a
10 couple meters wide, plumes that are only a couple meters
11 wide, and so you wouldn't see a broader leak plume.
12 Whether the plume from a building, I don't know what it's
13 going to look like, so I don't know the answer to that
14 question. But if it shows up like a point source leak would
15 look on the surface, then yes, we would be quantifying that
16 as well.

17 MR. NEWTON: Thank you.

18 MR. O'CONNOR: Seeing no further questions, it
19 does look like we're about out of time, so we'll thank the
20 panelists and move on.

21 (Applause)

22 MS. KOZAWA: Before we close today I just wanted
23 to make a few announcements and then we do have one popup
24 comment that has popped up. And if any of you have comments
25 for the IEPR workshop, now is the time to come up and give

1 your comment as well.

2 But first, thank you very much to our speakers
3 today, to our moderators, and especially for you, the
4 audience for lasting this long. And we did end on time so
5 I'm really happy for us for that.

6 I really appreciated the discussions that we had
7 today on (inaudible) super emitters, but also the fact that
8 business as usual and trends are also going to be important.
9 For tomorrow start time is a little bit more friendlier,
10 9:00 a.m. here. Tomorrow also is a continuation of the CEC
11 IEPR workshop, so we'll be accepting public comments again
12 and hearing them about the end of the day.

13 And also, if you have not submitted a panel
14 question and if you'd like to, please do so at the back of
15 the room, the clear boxes on white index cards.
16 So with that, I'd like to go to the public comment period.
17 We have one comment card.

18 Ed Newton, I know you weren't here before, but
19 you're okay with comment? Okay, I guess that's good.
20 And is there any comment?

21 MR. LEYVA: Melissa, this is Luis. Are there any
22 questions on the phone?

23 PHONE OPERATOR: And it looks like we do have a
24 question. It'll be one moment, please. And we do have a
25 question from Lorraine Lundquist.

1 Your line is open.

2 MS. LUNDQUIST: Thank you. I actually had a
3 public comment. Is this the right time to do that?

4 MR. LEYVA: Yes, go ahead.

5 MS. LUNDQUIST: Okay. Thank you. My name is
6 Lorraine Lundquist, and I am a resident of the San Fernando
7 Valley, not too far from the Aliso Canyon disaster area.
8 I wanted to say thank you to all of the presenters and thank
9 you for the enlightening data on methane detection and all
10 of the monitoring information that's been presented today.

11 My comment is that it's very clear from the
12 prevalence of leaks along all parts of the oil and gas
13 system that priority really needs to be given to cutting off
14 the source of these leaks completely by shifting away from a
15 fossil fuel economy as fast as possible. This is a much
16 more important strategy, and maybe even more doable than
17 tracking down and fixing each and every one of these many,
18 many leaks that we can see are present all throughout the
19 system.

20 We certainly can do both. We can do both leak
21 reduction and energy shifting, but it's really crucial that
22 throughout the process we maintain the energy transition as
23 the top priority, and that needs to take priority over any
24 kind of leak detection and fixing, so phasing out fossil
25 fuels has to come first and it has to be the most important.

1 Which brings me to the Aliso Canyon disaster. It
2 really could be considered an opportunity to test how fast
3 we can move away from fossil fuels and away from natural gas
4 reliance. This summer Aliso Canyon is largely offline and
5 it provides an excellent test case scenario to discover how
6 fast we can shift our electricity systems toward
7 conservation efficiency and demand response. We need to
8 really rise to this challenge and use this as a catalyst to
9 shift Los Angeles away from natural gas.

10 This one disaster has already cost more than the
11 value of the storage facility in the first place, so it
12 doesn't make sense to risk reopening it and risking another
13 ultra high emission event when instead we can use this
14 moment to protect our health and our climate and just shut
15 down the facility forever and learn how to do that for the
16 other facilities that are existing and eventually all of the
17 fossil fuels that we are relying on altogether.

18 And it's particularly important to begin planning
19 for the winter. There was a reliability workshop for the
20 summer, but we can examine how much we can reduce our direct
21 natural gas dependence by starting now to look at the winter
22 and see how much solar water heaters and efficiency and
23 demand response programs for gas and electrification and
24 everything else that we can install now using this crisis as
25 an opportunity to shift as fast as we can away from fossil

1 fuels, protect our health and our climate and move toward
2 the clean energy economy.

3 Thank you.

4 MR. LEYVA: Thank you for your comment.

5 Are there any more over the phone?

6 PHONE OPERATOR: I do not have any further
7 questions on the phone.

8 MR. LEYVA: Okay, thank you, Melissa.

9 MS. KOZAWA: Okay. I guess with that we'll
10 conclude our public comment period and we'll see you guys
11 tomorrow morning at 9:00 a.m.

12 Thank you so much.

13 (Whereupon the Joint Agency Symposium and IEPR Workshop on
14 Methane Emissions from California's Natural Gas System:
15 Challenges and Solutions adjourned at 4:52 p.m.)

16

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of July, 2016.



PETER PETTY
CER**D-493
Notary Public

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

July 22, 2016