

## DOCKETED

<b>Docket Number:</b>	15-AAER-02
<b>Project Title:</b>	Pool Pumps and Spa Labeling
<b>TN #:</b>	212730
<b>Document Title:</b>	Transcript of the 07/13/16 Staff Workshop on Pool Pump and Motors and Portable Electric Spas
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	8/10/2016 2:02:46 PM
<b>Docketed Date:</b>	8/10/2016

HEARING  
BEFORE THE  
ENERGY RESOURCES CONSERVATION AND DEVELOPMENT  
COMMISSION OF THE STATE OF CALIFORNIA  
CALIFORNIA ENERGY COMMISSION

In the matter of, )  
 ) Docket No. 15-AAER-02  
 )  
Efficiency Division )  
Appliances and Outreach )  
and Education Office )

**STAFF WORKSHOP ON POOL PUMP AND MOTORS  
AND PORTABLE ELECTRIC SPAS**

CALIFORNIA ENERGY COMMISSION  
FIRST FLOOR, IMBRECHT HEARING ROOM  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

WEDNESDAY, JULY 13, 2016

10:00 A.M.

Reported By:  
Peter Petty

## APPEARANCES

CEC Staff Present

Leah Mohny, Supervisor, Appliance Efficiency Program,  
Efficiency Division

Sean Steffensen, Mechanical Engineer

Ben Fischel, Associate Energy Specialist

Bruce Helft, Appliance Efficiency Program

Mike Murza, Legal Office

Presenters/Panel Members Present

Charles Kim, California Investor Owned Utilities

Chad Worth, Energy Solutions on behalf of California IOU

Shajee Siddiqui, Zodiac Pool Systems on behalf of the  
Association of Pool and Spa Professionals (APSP)

Matthew Vartola, Bestway

Mike McCague, Association of Pool and Spa Professionals

Dave Moreau, Western Urethane Systems, Ltd.

E. Jess Tudor, Coverplay

Also Present

Jeff Farlow, Pentair

Meg Waltner, Natural Resources Defense Council (NRDC)

Dan Delaney, Regal Beloit and APSP

George Nesbitt, Home Energy Rating System, HERS Rater

## INDEX

	Page
Introduction	
Leah Mohny	5
Staff's Pool Pump and Motor Presentation	
Sean Steffensen	7
Stakeholder Pool Pump and Motor Presentations	
California Investor Owned Utilities	
Charles Kim	25
Energy Solutions on behalf of California IOU	
Chad Worth	28
Association of Pool and Spa Professionals	
Shajee Siddiqui, Zodiac Pool Systems	36
Open Discussion and Public Comment	45
Staff's Portable Electric Spa Presentation	
Ben Fischel	69
Stakeholder Portable Electric Spa Presentations	
California Investor Owned Utilities	
Charles Kim	82
Energy Solutions on behalf of California IOU	
Chad Worth	85
Bestway - Matthew Vartola	89
Association of Pool and Spa Professionals	
Mike McCague	96
Western Urethane Systems, Ltd.	
Dave Moreau	104
Coverplay - E. Jess Tudor	106
Open Discussion and Public Comment	118

## INDEX

	Page
Next Steps	131
Adjournment	132
Reporter's Certificate	133
Transcriber's Certificate	134

1

## P R O C E E D I N G S

1  
2 JULY 13, 2016

10:00 A.M.

3 MS. MOHNEY: Good morning. Welcome to the Pool  
4 Pump and Electric Spa Workshop. My name is Leah Mohney  
5 and I'm the Supervisor for the Appliances Unit.

6 Before we go over anything, I want to go over a  
7 few housekeeping rules. The bathrooms are through the  
8 double doors and to the right.

9 In the case of an emergency, please go out the  
10 double doors. You can exit the building either through  
11 the right or the left. And follow staff to the park  
12 that's caddy corner across the intersection.

13 Another item of housekeeping, please note that  
14 your mics are now in the off position. When you press  
15 the button, the light will turn red. Please, only have  
16 your mic on if you are speaking. When you're finished  
17 speaking, please turn your mic off. And note that the  
18 microphone will not amplify your voice in the room. It  
19 is for our WebEx participants.

20 That being said, we have a number of items  
21 today. We're going to have the Pool Pump Motor Proposal  
22 and then we'll have some stakeholder presentations.  
23 Please come up to the mic for your presentation so that  
24 you can advance the slides.

25 Then, we'll have open comments and discussion.

1 We'll have a short break at 11:30 and then we'll have  
2 the Electric Spa Proposal, stakeholder presentations,  
3 and discussion, and comment after that.

4 I briefly wanted to go over the history of the  
5 pre-rulemaking. March 2012 was the Order Instituting  
6 Rulemaking. March 2013, the Invitation to Participate.  
7 May 2013, the invitation to participate workshop. June  
8 2013, stakeholders were invited to submit proposals to  
9 reduce energy consumption. September 2013, we had the  
10 proposal workshop. January 2014, we had additional  
11 information on pool pump motors and portable electric  
12 spas requested.

13 January 2016, now we're in this year, the staff  
14 analysis for pool pump motors and electric spas was  
15 published. February 2016, the staff workshop. And June  
16 2016, the revised staff analysis for pool pump motors  
17 and portable electric spas was published.

18 That brings us to today's workshop. In case  
19 you're not familiar, this is the entire process and we  
20 are right here.

21 Written comments for today's workshop are due by  
22 5:00 p.m., on July 29th. You can go to the Energy  
23 Commission website for rulemaking, click on submit e-  
24 comment, or you can send a hardcopy. Just remember that  
25 the comments are all due on July 29th, at 5:00 p.m.

1           With that, I would like to introduce Sean  
2 Steffensen, who will present the information for you.

3           MR. STEFFENSEN: Good morning. It's always good  
4 to see so many familiar faces in the room.

5           I'm Sean Steffensen. I'm a Mechanical Engineer  
6 with the Efficiency Division. And today I'll be talking  
7 about our proposal for pool pump and motor standards.

8           So, I'd like to welcome everybody today, both in  
9 the room and online, and thank you for your  
10 participation.

11           My agenda is shown here. I will summarize the  
12 updates to the staff draft report and end by suggesting  
13 topics for discussion.

14           Pool pump motors, including motors sold with a  
15 pump, and replacement motors use a significant amount of  
16 energy, as much as 2,500 kilowatt hours per year, per  
17 pool, according to the Residential Appliance Saturation  
18 Study.

19           The California Energy Commission first regulated  
20 pool pumps and motors starting in 2004. Before that  
21 time, most pool pump and motor systems used single-speed  
22 motors, with some systems utilizing fairly inefficient  
23 electric motor constructions.

24           The current standard for residential pool pumps  
25 and motors, and replacement residential pool pump



1 motors, includes a prohibition on inefficient split-  
2 phase and capacitor-start, induction-run electric  
3 motors, and a requirement that all pumps and motors that  
4 have a total capacity of one horsepower or more have at  
5 least a two-speed operation and controllers.

6 Today we will discuss staff's proposal to update  
7 the standard, with a focus on what has changed since we  
8 last met. As I present today, I will attempt to say  
9 pool pump motors, including motors sold with a pump, and  
10 replacement motors. From time to time I may say pool  
11 pumps or pool pump motors to briefly mean pool pump  
12 motors, including motors sold with a pump, and  
13 replacement motors.

14 Staff's proposal includes a review of comments  
15 received at the February 2016 staff workshop. Also,  
16 comments to the docket, as well as information made  
17 available at the U.S. Department of Energy, Appliance  
18 Standards Rulemaking, Federal Advisory Committee Working  
19 Group for Dedicated Purpose Pool Pumps. And again, I'll  
20 refer to that as ASRAC for short. That was a very  
21 successful effort.

22 I appreciated the wealth of comments received  
23 through these efforts and closely considered them as the  
24 staff proposal was updated.

25 The results of the review are as I show on this

1 slide. The scope of the rulemaking continues to include  
2 commercial pool pumps under 5 total horsepower, and pool  
3 pump motors used for filtering, booster cleaner, and  
4 waterfall pumps.

5 The staff analysis has been updated to reflect  
6 comments received regarding differences in duty cycles,  
7 energy consumption, cost, and product lifetime.

8 For changes, staff adjusted the minimum pool  
9 pump motor efficiency requirements, consolidated motor  
10 efficiency standard to a single effective date. We also  
11 added freeze protection settings and timer requirements  
12 for the integral filter pool pumps, consistent with  
13 those discussed at the ASRAC meetings.

14 Our goals continue to be to modernize the  
15 standards to take into account current market trends,  
16 and technology advances, and to extend statewide energy  
17 savings.

18 Much more detail is shown in the draft staff  
19 report at this link. We hope to receive public comment  
20 today and in the upcoming weeks as part of the workshop  
21 process.

22 So, here's some pictures to help define what we  
23 hope to discuss today. The scope of the staff proposal  
24 will include all pool pump motors and replacement motors  
25 that are 5 total horsepower or less, the residential

1 pool pump motors that are in the current scope of the  
2 regulations, and will expand the scope to include pool  
3 pumps intended for commercial applications.

4 We also want to cover various pool pumps found  
5 around the pools, including the filtering pumps, the  
6 pressure cleaner booster pumps, and the waterfall pumps  
7 as examples.

8 The scope will include pool pumps and motors,  
9 and replacement pool pump motors for in-ground, above-  
10 ground and storable pools. And there are pictures shown  
11 here at the right of the slide to help define those  
12 terms.

13 So again, the comments received at the last  
14 workshop were very helpful to help clarify what we  
15 intend to regulate through these proposed regulations.

16 Staff proposes minimum motor efficiencies for  
17 in-ground filter, above-ground filter and pressure  
18 cleaner booster pumps. The proposal will result in  
19 significant energy savings to California. The staff  
20 estimated at 1,277 gigawatt hours at full stock  
21 turnover.

22 Staff proposes a single effective date for the  
23 regulations two years from adoption. That would be  
24 January 1st, 2019.

25 So, the chart shown above shows the minimum pool

1 pump motor and replacement pool pump motor minimum  
2 efficiencies. Single-speed pool pump motors, between  
3 zero total horsepower and less than one-half horsepower  
4 must meet a 70-percent minimum efficiency at full speed.

5           Single-speed pool pump motors one-half  
6 horsepower and less than one total horsepower must meet  
7 a 75-percent minimum efficiency at full speed.

8           And those that may have studied the draft report  
9 in detail may notice I've slightly amended this to close  
10 what was somewhat of a gap, where I had defined it  
11 between zero horsepower and .49, and then I set a second  
12 standard between .50 and .99. We tried to just close up  
13 the .49 to .50 gap that was not intended. So, you may  
14 see a slight change to this as you compare it to the  
15 draft staff report, just to be clear.

16           Staff updated the minimum efficiency for the  
17 variable speed and dual speed to remain the same, 80-  
18 percent minimum efficiency at full speed and 65-percent  
19 minimum efficiency at half speed.

20           Staff considered comments that the half speed  
21 minimum efficiency would be difficult to achieve.  
22 Although, a review of the Appliance Efficiency database  
23 shows many appliances that meet the standard.

24           I show an update to the motor capacities, again,  
25 to remove this ambiguity. So again, it's just I wanted

1 to be clear that this is slightly different, but I think  
2 it preserves the intent of what was proposed on the  
3 draft staff report.

4 Staff proposes the test and list requirement for  
5 waterfall pumps. Staff found insufficient cost-  
6 effective savings to propose a minimum motor efficiency.  
7 This has to do with the lower duty cycle, lower power  
8 consumption versus the cost to improve the motor.

9 Staff proposes a timer requirement for integral  
10 filter pool pumps, with no minimum motor efficiency  
11 standard. Integral filter pumps are pumps most commonly  
12 found on portable or storable pools.

13 Those pool pumps sold with freeze protection  
14 shall meet a requirement to ship with default settings  
15 intended to save energy. The settings would provide  
16 adequate water flow to prevent freezing in the pool  
17 plumbing system on cold days.

18 Manufacturers will test and list power factor.  
19 No minimum power factor standard is proposed for pool  
20 pump motors.

21 Staff performed a survey of the pool pump and  
22 motor combinations and replacement pool pump motors  
23 certified to the Energy Commission. The chart shows  
24 single-speeds, less than one horsepower.

25 This chart was updated to show pool pumps

1 certified to the Commission as of March 2016. I'd  
2 updated this chart. The previous one was from July of  
3 2015. So, a lot more points can be seen here, than  
4 previously, which aids in our analysis.

5 The plot shows full speed motor efficiency on  
6 the vertical axis and motor size, in horsepower, on the  
7 horizontal axis. Points above the orange line show  
8 pumps currently compliant with the standard. Many  
9 single speed pumps meet the standard.

10 This chart shows the dual speed and variable  
11 speed pumps up to 5 total horsepower. The plot shows  
12 half-speed motor efficiency on the vertical axis and  
13 full speed efficiency on the horizontal axis. On this  
14 graph, the blue dots represent the dual speed models,  
15 while red points represent the variable speed models.

16 Points to the right and above the orange lines  
17 show pumps compliant to the standard. Again, it's kind  
18 of the upper right quadrant that is the pumps that would  
19 meet the standard. Many pumps meet the standard.

20 Staff reviewed motor size versus compliance to  
21 the pool pump motors and found many motors, of all total  
22 capacities, currently capable of meeting the standard.  
23 All size ranges were represented with currently  
24 compliant models.

25 Staff applied the standards savings methodology

1 used on previous rulemaking efforts to calculate savings  
2 on a consumer and statewide level. Efficiency of a  
3 current compliant product are held at the same level,  
4 while noncompliant products are moved to exactly meet  
5 the minimum standard, as indicated by those green  
6 arrows. So, they're either moved up or moved up and to  
7 the right.

8           Staff assumed product stock, duty cycles,  
9 operational speeds and product lifetimes based upon  
10 published research, including the recent ASRAC hearings.

11           Calculations detailed are shown in Appendix A of  
12 the draft staff report.

13           Staff found the proposed standard is highly cost  
14 effective, with payback periods well within the expected  
15 product lifetimes. And the product lifetimes have been  
16 updated to reflect the recent ASRAC meetings.

17           Staff updated the cost of the incremental  
18 efficiency gains through the use, again, of the ASRAC  
19 meetings' data that was provided to the USDOE. The most  
20 significant per-unit savings are shown for commercial  
21 pool pumps, due to their much higher, 24/7 full speed  
22 cycles.

23           Staff found the proposed efficiency standards  
24 cost effective for all cases considered, except  
25 waterfall pool pumps, where no minimum standard is

1 proposed.

2           And then the bottom line, that shows the  
3 integral filter pool pump savings, reflect the  
4 assumption of a noncompliant pool pump running 24 hours  
5 a day versus a compliant pump running 12 hours a day,  
6 under a timer control. Staff assumed a 150-day pool  
7 pump season based upon comments to the docket.

8           Staff found substantial statewide energy savings  
9 for minimum motor efficiency levels and integral filter  
10 timer standards. When fully implemented, the standard  
11 will save 1,277 gigawatt hours, or about 98 gigawatt  
12 hours per year more than the previous workshop.

13           That translates into millions of dollars of  
14 savings for California businesses and consumers. At  
15 full stock turnover, there will be \$204 million of  
16 savings of electrical costs to Californians.

17           Staff found substantial statewide environmental  
18 benefits from the proposed standards. The standards,  
19 when implemented, will reduce criteria air pollutants by  
20 134 tons per year and reduce greenhouse gas emissions by  
21 440,000 tons per year.

22           The proposal supports the wider, long-term  
23 strategy for the State to reduce its carbon emissions.  
24 And it will support the target set by Senate Bill 350,  
25 the Clean Energy and Pollution Reduction Act of 2015 to



1 double energy efficiency from existing buildings through  
2 appliance and building standards. As well as the goal  
3 of the Warren-Alquist Act to reduce energy consumption  
4 through cost-effective and technically-feasible energy  
5 efficiency standards.

6 So, I'll show several slides of discussion  
7 items. Again, we are here to listen to the public and  
8 to the stakeholders to understand comments. So, I'll  
9 list off a couple here to help facilitate the discussion  
10 at this workshop.

11 We seek comments on the manufacturing cycle and  
12 if a particular calendar date would be preferred by  
13 industry for the effective date.

14 We would also like comments on impacts to the  
15 environment, small businesses and manufacturers by the  
16 proposed regulation.

17 Staff seeks comments regarding the size of the  
18 replacement pool pump market relative to the size of the  
19 pool pump and motor combination market. Pool pump and  
20 motor combinations are where a pool pump and motor are  
21 sold together. So, we're looking at how often is it a  
22 pool pump and motor are sold together versus how often  
23 is a replacement motor intended to be placed onto a pool  
24 pump as a repair, how often is that sold.

25 As seen on this slide, staff assumes one

1 replacement motor is sold for every three pool pump and  
2 motor combinations.

3 Staff also seeks comments on the market share  
4 versus motor total horsepower. At the ASRAC meeting,  
5 manufacturers provided information, through the USDOE,  
6 to show that less than -- that the less than one total  
7 horsepower market share is less than 10 percent. So,  
8 the small motors represent a very small portion of the  
9 market.

10 That differs than what's shown on the slide  
11 here, where I've extracted the graph showing the market  
12 share that was assumed for the staff proposal. So, I  
13 would look for comments here to update the proposal to  
14 understand the market share.

15 To support this, staff has recently concluded a  
16 phone survey of California pool pump distributors,  
17 retailers and installers. Twenty-one individuals chose  
18 to participate, of the 50 that were called. Fifteen of  
19 the 21 participants reported their most popular pool  
20 pump motor size was the variable speed, the three to  
21 four total horsepower pool pump.

22 So again, this would tend to indicate that the  
23 small market or the small motor market is small.

24 Four of 21 participants reported selling  
25 replacement pool pump motors. The results of the phone

1 survey seemed to support, again, the assumption that  
2 staff shows, where one replacement motor is sold for  
3 every three pool pump and motors. We would like to  
4 receive comments on these topics.

5           The ASRAC meetings recently concluded with the  
6 unanimous consensus on a strong, nationwide dedicated  
7 pool pump standard. The standard would require pool  
8 pumps to perform as efficiently as the current variable  
9 speed pool pumps for pumps roughly one total horsepower  
10 and above.

11           This would lead to 3.8 quads of savings,  
12 quadrillion Btu, it's the way the DOE indicates energy  
13 savings, over the next 30 years. The USDOE led this  
14 effort, while the Energy Commission participated in this  
15 effort.

16           Staff considers the efficiency standards as  
17 roughly equivalent to the proposed California efficiency  
18 standards for pool pump motors. The effective dates  
19 differ between the ASRAC agreement and the California  
20 proposal. Staff seeks comments in light of the recent  
21 ASRAC agreement.

22           This list is the start of discussion topics and  
23 we welcome comments on other topics relevant to staff's  
24 proposal.

25           So, staff has released a draft staff report.

1 We're in a comment period right now. Comments may be  
2 submitted electronically at the link above or e-mailed  
3 to the docket. Hardcopies may also be sent to the  
4 Energy Commission, at the address shown on the slide.  
5 One route of submission is sufficient. We do not need  
6 to see items submitted in all three ways.

7           Comments are due by 5:00 p.m., July 29th, 2016.

8           For those of you on the phone, this entire slide  
9 package, as well as the upcoming slide packages, have  
10 been docketed. It is available at Docket 15-AAER-02.

11           Once we receive comments, we will analyze the  
12 issues, compare the comments to the proposed standard  
13 and figure out the best path forward. We look forward  
14 to your feedback and we will work hard to incorporate it  
15 into our next draft of the standards.

16           Thank you, today, for your participation. My  
17 contact information is shown here.

18           We will proceed next into the formal  
19 presentations, followed by an opportunity to receive  
20 comments from the public.

21           I can take clarifying questions on this  
22 presentation, but substantial comments and statements  
23 should be saved for the public comments, following the  
24 remaining formal presentations. Thank you.

25           So, if there are no questions, I will call

1 Chad -- or, sorry, Charles Kim to the podium as the next  
2 stakeholder.

3 Oh, I'm sorry.

4 MR. FARLOW: This is Jeff Farlow, from Pentair.  
5 I just had --

6 MR. STEFFENSEN: Speak right into the mic. And  
7 as we want to speak loudly enough so that the entire  
8 room can hear.

9 MR. FARLOW: This is Jeff Farlow, from Pentair.  
10 And I just wanted to ask a clarifying question on your  
11 cost effectiveness slide, number 12.

12 MR. STEFFENSEN: Okay.

13 MR. FARLOW: I was wondering if you could expand  
14 a little bit on that.

15 MR. STEFFENSEN: Okay, this is Sean Steffensen.  
16 We updated the analysis based upon comments from  
17 stakeholders, both at the workshop and in the docket, as  
18 well as our participation at the ASRAC meeting. I think  
19 there was a lot of great information shared there.

20 We can see that the design life has been changed  
21 and updated to reflect more modern, current  
22 understandings of product lifetimes. So, whereas we  
23 assumed, uniformly, a ten-year life based upon the DEER  
24 standard, we have updated to coincide with what the  
25 ASRAC working group agreed to.

1           Electrical savings are derived from looking at  
2 the duty cycle times the motor size times the efficiency  
3 gains.

4           Incremental costs are found through, again,  
5 reviewing the ASRAC working group motor efficiency  
6 prices at the various levels. I took some liberties as  
7 to what EL level coincides because I know we were  
8 talking about pool pumps there, versus motors here. But  
9 I think there's a connection there because we were  
10 talking about motor prices. That's really incremental  
11 cost of comparing, say, an EL-0, EL-1, EL-2. So, I  
12 looked to see what I felt was the appropriate level to  
13 assign to -- that would coincide with -- the California  
14 standard versus what I feel the baseline in California  
15 is.

16           Annual energy savings, again, are dividing the  
17 lifecycle savings by the life expectancy. And then the  
18 benefit is subtracting out the increased cost of the  
19 system versus the total lifecycle savings.

20           So, that's a broad explanation. Is there  
21 anything in detail that you would like for me to  
22 address?

23           MR. FARLOW: Yes. Specifically, when we look at  
24 the third item, single-speed residential filtration. I  
25 assume that is representing an energy efficient single

1 speed that represents 400 kilowatt hours per year  
2 savings over what would be considered the baseline?

3 MR. STEFFENSEN: Yeah, that's correct.

4 MR. FARLOW: Okay.

5 MR. STEFFENSEN: Currently, there's no standard  
6 for motor efficiency in California. So, I believe it  
7 was an EL-0 motor that was chosen.

8 MR. FARLOW: As baseline.

9 MR. STEFFENSEN: As a baseline and we looked to  
10 EL-2.

11 MR. FARLOW: Okay. Now, the dual speed offers  
12 424 kilowatt hours per year. Is that in addition to the  
13 400 or is that just the two speed over a baseline --

14 MR. STEFFENSEN: Yeah, in a sense we were  
15 looking at an EL-0 dual speed. I mean -- maybe I'm -- I  
16 probably should look at my notes. But we did try to  
17 attempt to look to see what type of motor would be used.  
18 So, the motor efficiency at that level.

19 MR. FARLOW: I guess my question comes around,  
20 the variable speed indicates only 51 kilowatt hours of  
21 savings per year. And is that 51 kilowatt hours of  
22 savings relative to the baseline or is that 51 kilowatt  
23 hours of savings relative to the dual speed at whatever?  
24 I mean, because it seems like a very low savings amount  
25 for a variable speed. In this case, the dual speed

1 shows eight times more energy savings than the variable  
2 speed.

3 MR. STEFFENSEN: Yeah, so in regards to that  
4 question, we are trying to compare -- I may have  
5 misspoke earlier about dual speed. I believe dual speed  
6 was EL-3.

7 MR. FARLOW: Okay.

8 MR. STEFFENSEN: You know, it's a baseline. A  
9 motor that minimally achieves dual speed, has the dual  
10 speed capability but has a low motor efficiency. So, we  
11 looked to see, well, what would make a high efficiency  
12 dual speed system, with a high efficiency motor? And I  
13 believe that was EL-5.

14 MR. FARLOW: Okay.

15 MR. STEFFENSEN: So, we compared EL-3 to EL-5.

16 For variable speed I mean it was EL-6. They are  
17 a very efficient product to begin with, so we're not  
18 proposing a lot of improvement to that product. We're  
19 really trying to set a uniform standard across the  
20 entire spectrum for all motors, whether they're single  
21 speed, dual speed, or variable speed as we've indicated  
22 on the minimum efficiency slide.

23 MR. WORTH: This is Chad with the Cal IOUs.  
24 Jeff, I see what you're saying. I believe how this  
25 analysis was done is basically you took the average



1 noncompliant, variable speed motor, for which there were  
2 very few, and said what does it take, basically, to  
3 bring the poorer performing variable speed up to these  
4 motor efficiency standards.

5 MR. STEFFENSEN: Yeah.

6 MR. WORTH: So, this is done with the baseline  
7 assumption that everything over one total horsepower  
8 appears to be multi speed or variable speed.

9 And I think the delta of going from the least  
10 efficient, two-speed motor, to the 80/65 split is  
11 greater than taking, basically, the least efficient  
12 variable speed motor and going to the 80/65 split.

13 MR. STEFFENSEN: It's looking -- again, this is  
14 Sean Steffensen.

15 MR. WORTH: Baselines are different for motors  
16 above one horsepower and below it.

17 MR. STEFFENSEN: Yeah, very much an apples to  
18 apples. Variable speed before the standard to variable  
19 speed after the standard. Dual speed before the  
20 standard to dual speed after the standard. That was the  
21 intent.

22 I looked to the ASRAC committee as a very recent  
23 source of information, where there was wide  
24 participation among manufacturers that provided some  
25 good data, to update my analysis to make it consistent

1 with that proceeding.

2 (Off-mic comments)

3 MR. STEFFENSEN: Okay, I think you have -- I run  
4 the slides, so I would have to -- oh, I'm sorry, I see  
5 two hands raised on WebEx. We would like for them to  
6 respond through the chat function.

7 Okay, we still want to hear from those  
8 participants online. We can come back to you, so please  
9 type your question and we will respond to it.

10 I would like to invite Charles Kim to the  
11 podium.

12 MR. KIM: Thank you. I'm Charles Kim. I'm with  
13 Southern California Edison Company. I'm speaking on  
14 behalf of the California IOUs.

15 What a journey. This journey started in the  
16 year 2012. But in the context of a market  
17 transformation for pool pump and pool pump motors, our  
18 journey started even earlier. More than 15 years  
19 Californians see witnesses and the benefit from the  
20 market transformation.

21 It was a long journey, but this journey cannot  
22 be a successful journey without leadership of the CEC.

23 From time to time we reach a turning point where  
24 we can raise the bar and bring more benefits to  
25 Californians, the common customer that we have today.

1           So, we are here to speak nothing more than  
2 support, and support the CEC's proposal. For people I  
3 say that, I want to say thank you to CEC for leading the  
4 nation and leading the California to bring energy-  
5 efficient products to market and bring some benefits to  
6 Californians. And, moreover, protecting our  
7 environment.

8           California has been a leader in energy  
9 efficiency and this particular measure clearly  
10 demonstrates the California leadership on energy  
11 efficiency. My gratitude and thankful heart extend to  
12 the staff who wrote this report. It was clear, clearly  
13 demonstrate the technical feasibility, clearly  
14 illustrate the cost benefits, and clearly outline all  
15 the benefits that it brings.

16           When I read this report and my exclamation was  
17 wow, this is well-written report, and I'm very thankful  
18 for that.

19           Success cannot happen without support from  
20 industry. Technology advancement, the variable speed  
21 drive was not available, maybe not too cost effective  
22 many years ago, but today it is. And many products are  
23 available for variable speed that our customers can  
24 enjoy the benefit of a pool without jeopardizing the  
25 quality of using the pool.

1           And I'm sure many years from now we're going to  
2 see many different technologies. So, today's the day we  
3 can make things change. And without, once again, your  
4 help, and your innovation, and your leadership this  
5 cannot happen. So, my thanks and gratitude goes to  
6 industry as well.

7           So, bottom line is, from California IOU stand  
8 point, once again we want to support, and support, and  
9 support the latest proposal put up on the table.

10           First support is the efficiency level. Second  
11 support is the effective date. And third support is all  
12 the benefits that this brings to Californians, and I'm  
13 very, very grateful to that.

14           And we have comments, minor comments, where the  
15 area we can make any improvements. And my colleague,  
16 Chad, is going to present that next. But once again,  
17 thank you so much. Thank you, CEC. Thank you,  
18 industry. And thank you for all stakeholders who are  
19 trying to make this one happen. And the time is now and  
20 we need to move on. Thanks so much.

21           MR. STEFFENSEN: Thank you, Charles.

22           Were there comments from the -- Ben, were there  
23 comments or questions?

24           Okay, then let's go forward with Chad's  
25 presentation.

1           MR. WORTH: Good morning. Thank you, Charles.  
2 My name is Chad Worth. I work for Energy Solutions on  
3 behalf of the California Investor Owned Utilities.  
4 Again, which are Pacific Gas & Electric Company,  
5 Southern California Edison Company, San Diego Gas &  
6 Electric Company, and the Southern California Gas  
7 Company.

8           First, again, I'd like to echo and thank the CEC  
9 for a well done report. And I appreciate the  
10 collaboration we've had on this rule, and at DOE, and  
11 hope we can continue that collaboration through today.

12           Just a real quick documentation of the IOUs'  
13 involvement in pool energy efficiency. In 2001, PG&E  
14 started a voluntary program for time clocks and two-  
15 speed motors. That was started by our dear colleague,  
16 Gary Fernstrom, who is not here today. He's back in  
17 Washington, D.C.

18           In 2004, the IOUs proposed the first case study  
19 or Codes and Standards Enhancement Study for Residential  
20 Filtration Motors. And this led to a prescriptive motor  
21 requirement that banned split-phase and cap-start  
22 induction type motors. They also said, a few years  
23 later, we should have all residential filtration motors  
24 over one total horsepower be two-speed, multi-speed or  
25 variable speed.

1           A few years later we incorporated these and some  
2 other best practices into the Building Code, such that  
3 new pools built in California were very efficient.

4           And then, as has been mentioned, this rulemaking  
5 began in 2012. In 2013, Energy Star adopted or took on  
6 pool pumps, which has had a wonderful impact nationwide.

7           And then, most recently, as has been mentioned,  
8 we've been working very rigorously the last year, at the  
9 Department of Energy, for a national pool pump standard.  
10 Here, we're working on pool pump motors.

11           Again, I mentioned these briefly. But this is  
12 the Title 20 language that exists right now. And we  
13 have a prescriptive motor efficiency requirement and  
14 then we also have a requirement that says any pool pump  
15 motors over one total horsepower must be two-speed,  
16 multi-speed, or variable speed, and must be sold with  
17 controls that enable that.

18           The current rulemaking, you know, again, this  
19 has been going on since 2012. There have been a number  
20 of workshops. We've docketed many responses. In 2014,  
21 we had a round table that was convened by CEC and us, in  
22 San Francisco, where we worked through a lot of these  
23 issues. We also engaged with APSP 15 Committee to work  
24 through some of the test procedure issues. We had the  
25 workshop in February and here we are today.

1           So, as I think Charles mentioned broadly, we  
2 definitely support CEC's staff proposal. We believe  
3 they are cost effective -- or, the standards are cost  
4 effective, achievable, and will lead to significant  
5 savings statewide.

6           Really, there are three important changes that  
7 are made within this proposal. I think an important one  
8 is the clarification and simplification of the test  
9 procedure and reporting requirements, extending the  
10 motor design and motor efficiency standards to cover all  
11 pool pump motors under five total horsepower, and  
12 shifting from prescriptive to performance standards.

13           The test procedure and reporting changes,  
14 currently the IEEE 114 test procedure is not ideal for  
15 testing motors at multiple speeds. Again, we worked  
16 with the industry to identify an appropriate test  
17 procedure, which we determined was the CSA C747-09 for  
18 motors. And we agreed on some common testing points and  
19 reporting requirements that will give much clarity and  
20 strengthen CEC's database.

21           Expanding the coverage to all pool pump motors.  
22 Again, currently, the Title 20 language is highly unique  
23 as far as appliance standards goes in that it only  
24 applies to residential filtration applications.

25           However, when a distributor or a retailer is

1 selling a motor, they may not necessarily know where a  
2 pool pump motor goes. This has led to a number of  
3 compliance issues. It's been well documented. People  
4 have come here, on the record, pool installers and  
5 stated as such.

6 And so we see the largest advantage of this  
7 proposal is making it such that all pool pump motors,  
8 regardless of application, will need to meet these  
9 requirements.

10 CEC's proposal will extend the motor efficiency  
11 requirements, replacing the prescriptive ones to all  
12 pool pump motors under five total horsepower. I note  
13 that CEC provided an exemption for waterfall pool pump  
14 motors. We have a few comments on that, so we'll come  
15 back to that.

16 And again, expanding the two-speed, multi-speed,  
17 or variable speed requirement. Therefore, in a post-  
18 effective date world, one should not be able to find a  
19 single speed motor over one total horsepower, pool pump  
20 motor, in California. We know if those are out there,  
21 they will get put on pools and pools will run  
22 inefficiently.

23 So, that is the big thing we're trying to get at  
24 here is increased compliance and increased certainty.

25 And again, these standards will apply to booster



1 pumps, replacement motors, above-ground pools, small  
2 commercial.

3 We believe the shift from prescriptive to  
4 performance standards is a good one. There's plenty of  
5 data to show that motors can be efficient regardless of  
6 the motor construction type. And this, I believe, was  
7 something that was driven from industry to move to a  
8 more performance-based standard, and we support that.

9 We think what CEC has proposed is reasonable.  
10 We think they, you know, on the single speed products  
11 have compromised and met a lot of the concerns that  
12 industry brought up a few months ago. And that is  
13 allowing, basically, single speed motors below one total  
14 horsepower, giving them a little more leniency with this  
15 70 percent and then 75 percent steps. We think that's a  
16 reasonable concession and we, again, support the  
17 continuation of the 80/65 split for, you know, variable  
18 speed and two-speed motors.

19 We also support the January 1st, 2019 effective  
20 date. And I would like to, I guess, point out that  
21 we've got 1.2 million in-ground pools here in California  
22 and I believe 5 or 6 hundred thousand above-ground  
23 pools. And according to CEC's analysis, every year we  
24 don't act is costing these pool owners \$34 million a  
25 year in energy costs. So, there is a cost to delay.

1           Again, we have some suggestions for improvement,  
2 of which we'll document in more detail in our written  
3 comments, and perhaps get into the weeds of some of  
4 these in the discussion.

5           One, you know, opportunity for improvement, we  
6 would like to see the hydraulic testing and  
7 characterization of waterfall and booster pumps removed.  
8 We think this is kind of an unnecessary burden on  
9 manufacturers, as we're regulating motors here. We  
10 believe DOE standards will, in due time, supplement the  
11 hydraulic reporting requirements and testing.

12           We propose to treat waterfall pool pump motors  
13 no differently than other pool pump motors, as there's a  
14 very small market share for these products. And meeting  
15 the 1725 rpm efficiency requirements of 65 percent seems  
16 reasonable, and we would hate to create a loophole for  
17 such a very small market segment.

18           We generally support the integral product timer.  
19 I guess exemption's not the right word. But the  
20 opportunity to supplement the motor efficiency  
21 requirements with these integral products.

22           The only comment we would have on that, to  
23 prevent a loophole, would be to put an upper bound on  
24 that such that someone doesn't make a three horsepower  
25 motor and put a timer on it, and then get excluded from

1 the motor efficiency regulations. Again, probably  
2 unlikely, but I think that's something we probably could  
3 come to an agreement on.

4 And then finally, you know, align CEC terms,  
5 definitions, test procedures as much as possible with  
6 what DOE has done. And I think Sean and the CEC  
7 recognize that. They developed this report prior to us  
8 finishing a lot of the work at DOE, so some of that  
9 discrepancy is to be expected.

10 But specifically, we'd like to see the  
11 definitions in alignment as possible. We see the freeze  
12 protection requirements in alignment. The motor  
13 controller language in alignment as much as possible.  
14 And such that the impact of this standard will  
15 ultimately be CEC -- sorry.

16 In closing, we hope that the impact of this  
17 standard will essentially be CEC adopting what DOE will  
18 do, a few years early in California. To the extent we  
19 can, we would like to create California-only models,  
20 knowing where DOE is going. However, what we see that  
21 the CEC has proposed is cost effective, and is  
22 reasonable, and we can work together to bring these into  
23 alignment. Thank you.

24 MR. STEFFENSEN: Thank you, Chad. I would like  
25 to call up, next, Shajee.

1           MR. FARLOW: Sean, this is Jeff Farlow from  
2 Pentair. Can I ask one question on the previous  
3 presentation?

4           MR. STEFFENSEN: Regarding Chad's presentation?

5           MR. FARLOW: Yes.

6           MR. STEFFENSEN: Yes.

7           MR. FARLOW: I think it can be addressed easily.  
8 When you referred to waterfall pumps and the performance  
9 requirement for them, you indicated that if we look at  
10 the table, on Table 6-3, it shows a half-speed 1725 rpm  
11 column with -- it shows no, N/A for single speed pumps,  
12 and then the 65 percent for multi-speed pumps.

13           Are you proposing, I thought I understood you to  
14 say that for waterfall -- single speed waterfall pumps  
15 that run at only 1725 rpm, they would have to comply  
16 with the 65 percent motor efficiency requirement. Is  
17 that accurate?

18           MR. WORTH: Yeah, so currently, and Sean clarify  
19 if I'm wrong, what you've proposed is to exempt them  
20 from any motor efficiency requirements. And I think in  
21 order to -- I think we would see that as a compromise  
22 position. In order to avoid a loophole, such that they  
23 get out completely, we think testing them to the 1725  
24 would be a reasonable compromise there.

25           MR. STEFFENSEN: Just so I understand, test to

1 1725 rpm or half speed and list, or test and meet  
2 standard of minimum efficiency?

3 MR. WORTH: We would like to see motor  
4 efficiency standards for all pool pump motors, knowing  
5 that CEC can't or will have a very difficult time  
6 differentiating a motor on a distributor's shelf, a  
7 waterfall pool pump motor versus a self-priming pool  
8 pump motor.

9 Perhaps, I'd be curious to get industry's  
10 feedback on that. One concern that we have is we don't  
11 want to create a world of 1725 becomes the default rpm  
12 speed. But we also recognize that these motors are  
13 unique, having a unique application.

14 So, maybe we can work -- I'm sure, given this is  
15 the one percent, we can come to some agreement on how to  
16 address this product.

17 MR. STEFFENSEN: Okay.

18 MR. SIDDIQUI: Good morning to all. My name is  
19 Shajee Siddiqui. I'm with Zodiac Pool Systems. I stand  
20 here today representing the Association of Pool and Spa  
21 Professionals, and their pool pump and motor  
22 manufacturers.

23 My colleagues, who are online, as well as those  
24 that are here, I invite them to speak up or anytime  
25 interject if I miss anything or misspeak.

1           So, firstly, the APSP, Association of Pool and  
2 Spa Professionals, and its pool pump manufacturers or  
3 members, are supportive of the CEC's initiative to  
4 further advance the efficiency standards for pool pumps  
5 and motors. We believe this is yet another opportunity  
6 for the industry to demonstrate its ability to cooperate  
7 with its various constituents. As has been very aptly  
8 demonstrated recently and witnessed through the DOE's  
9 dedicated pool pump working program.

10           The APSP recommends that the CEC, its  
11 manufacturers, and energy advocates model their efforts  
12 on the recent DOE process, which proved to both  
13 effective and fair to all those involved.

14           As such, we'll talk about the following comments  
15 and recommendations which we are making. These are  
16 based largely on what was learned and utilized in the  
17 recent rulemaking.

18           First, the APSP recommends that the CEC utilize  
19 the same product categories and definitions as the DOE  
20 did. This will provide consistency with the federal  
21 regulations and thereby allow the manufacturers to have  
22 a common platform to which to build upon. You know, it  
23 gives it a common target that we're all after, which we  
24 feel was very fair and very effective.

25           Specifically, we recommend that the CEC use the

1 same DOE definitions for the following four categories,  
2 which were the self-priming pumps, the non-self-priming  
3 pumps, or extra small non-self-priming pumps, and the  
4 pressure cleaner booster pumps.

5           This, in turn, will allow for the associated  
6 requirements, test methods, et cetera, to be flexible  
7 instead of a one-size-fits-all approach, which I'll go  
8 into a little bit later as well. You know, the one-  
9 size-fits-all approach, we feel, clearly handicaps the  
10 ability for the industry to meet the established federal  
11 guidelines.

12           Motor efficiency versus the overall pump. We  
13 would like to better understand why the proposed  
14 requirements are based on motor efficiency instead of  
15 parameters for the overall pump such as, but not limited  
16 to, the energy factor. The impact of the pump's  
17 hydraulics plays a significant part in the overall  
18 energy consumption of a pump.

19           Additionally, there are examples of products  
20 that we believe would meet the new, what the DOE defined  
21 as the Energy Level 6 federal guidelines, yet not have  
22 the motor efficiency at either high or low speed, as per  
23 the CEC regulation.

24           So, APSP recommends that the CEC set different  
25 requirements for the categories, per the federal

1 guidelines as we've discussed above. In the recently  
2 negotiated DOE ruling, self-priming pumps represent the  
3 vast majority of the energy saving opportunities, which  
4 I believe the CEC has validated, as well. And  
5 therefore, these should rightfully be focused upon as  
6 far as the updated regulations are concerned.

7           The other categories, such as the non-self-  
8 priming pumps, the pressure cleaner booster pumps, these  
9 represent much smaller saving opportunities, as well as  
10 less financial justification for the homeowner. And I  
11 think the CEC study supports that as well. As such, the  
12 APSP proposes separate requirements for these  
13 categories.

14           Further recommendations regarding the pressure  
15 cleaner booster pumps will be noted below, which I'll  
16 talk about. And this, again, would align with the DOE,  
17 where each category has its separate or specific energy  
18 level requirements.

19           Two-speed pumps, the proposed requirements for  
20 pumps larger than one total horsepower would effectively  
21 eliminate two-speed pumps as they exist today, as most  
22 do not meet either the high or low speed motor  
23 efficiencies, and sometimes in both speeds. The energy  
24 savings opportunities of an existing two-speed versus a  
25 single speed can be significant. So, it would be



1 counterproductive to require further product categories  
2 for what would amount to minimal incremental savings.

3           The APSP recommends that two-speed pumps be  
4 allowed, but only if they meet two-speed definition and  
5 subsequent criteria, as described by the federal  
6 standard. This would still require most self-priming  
7 pumps, greater than the one total horsepower threshold  
8 to be variable speed, but at least would not eliminate  
9 the use of existing energy savings technology.

10           On the subject of pressure cleaner booster  
11 pumps, most of these on the market today are anywhere  
12 from, you know, 1.1 to 1.3 total horsepower. The  
13 proposed requirements would result in these either  
14 changing to variable speed, which we believe is  
15 impractical given the application, or reducing  
16 performance to less than one total horsepower, which  
17 would likely reduce the performance of the pressure  
18 cleaner itself, resulting in longer run times and  
19 greater energy consumption.

20           The federal guidelines that we've discussed  
21 currently do not differentiate the total horsepower for  
22 pressure cleaner booster pumps. And the associated  
23 energy level aligns with a more efficient single speed  
24 option. We recommend that the CEC look closely at this  
25 and adopt similar requirements as well.

1           On the subject of auxiliary pumps, these were  
2 also discussed at the Department of Energy. And it was  
3 found that many self-priming pumps are used as auxiliary  
4 pumps or, you know, what we call water feature pumps or  
5 spa booster pumps. This is different from pressure  
6 cleaner booster pumps. These applications are not speed  
7 discretionary. Meaning that their application does not  
8 allow for reduced speeds associated with significant  
9 energy savings.

10           Further, these applications run a fraction of  
11 the time, of a typical filtration or circulation pump.  
12 Therefore, the associated energy consumption or savings  
13 opportunity is dramatically lower with these types of  
14 pumps. And we'd like to encourage the Commission to  
15 look at that closely, as well.

16           By adopting the same federal guidelines or  
17 definitions, as noted above, it allows the manufacturers  
18 to develop products that would not be suitable or easily  
19 modified to be used for filtration or circulation, yet  
20 still appropriate for low energy consumption and  
21 auxiliary applications.

22           On the subject of freeze protection, the APSP  
23 recommends that the CEC adopt federal guidelines which  
24 include that if the pump is shipped with freeze  
25 protection disabled, then the prescriptive requirements

1 do not apply.

2           The APSP recommends the CEC adopt federal  
3 guidelines for the pressure cleaner booster pump test  
4 procedure, which involves testing the pump at the  
5 minimum head that the pump can achieve greater than or  
6 equal to 60 feet of 10 GPM. Again, this was just a test  
7 process or procedure that was discussed at the recent  
8 pool pump rulemaking at the DOE. And we would encourage  
9 the Commission to adopt that, as well.

10           The timing, that's an important one. The  
11 federal guidelines go into effect four and a half years  
12 or 54 months following the publication of the direct  
13 final rule.

14           The APSP recommends that the CEC align the  
15 implementation of its revised standards for pool pumps  
16 and motors with the DOE so that the industry can prepare  
17 for both rules concurrently, rather than have two moving  
18 targets, potentially.

19           This is particularly important if there are  
20 differences in the fundamental criteria. For example,  
21 the motor efficiency requirements versus a weighted  
22 energy factor, which is what the DOE considers. Which  
23 could otherwise result in California-only models, if  
24 subsequent model design changes are made to meet the DOE  
25 requirements.

1           And so from an industry stand point, that would  
2 be quite a burden if we had California-only SKUs versus  
3 general SKUs that would meet one general requirement.

4           One of the things that the industry's unclear  
5 on, and I guess we would request that the Commission  
6 give us absolute clarification, it's as far as the CEC's  
7 view as to the impact of the DOE pool pump rulemaking on  
8 CEC pool pump motor efficiency standards.

9           The DOE is expected to publish rulemaking, based  
10 on recent workgroup negotiations, once approved by  
11 ASRAC. The industry believes that any state standards  
12 pertaining to pool pumps or pool components would be  
13 preempted upon the DOE effective date. So, I guess we  
14 would like some clarification on that.

15           And just a point to note, it is important to  
16 note that pool pump manufacturers, when we certify a  
17 pool pump, not only for performance but for regulatory  
18 requirements such as safety, UL, et cetera, the motor is  
19 certified as an integral part of the pump. So,  
20 typically, the certification of that pump includes a  
21 specific motor or specific sets of motors which are  
22 declared or evaluated by the certification agency. So,  
23 just something to note.

24           So, in conclusion, the pool pump and motor  
25 manufacturers, you know, we've always cooperated and

1 worked with the regulators on higher efficiency  
2 standards. We support such. In the past, some state  
3 regulations have been implemented in limited coverage,  
4 which have resulted in loopholes, or insufficient market  
5 enforcement or implemented, and then rescinded, as in  
6 Florida a few years ago. Which has caused motor  
7 manufacturers to invest in compliant motor designs  
8 without a return on the investment because they've had  
9 to change or rescind the requirements.

10           The APSP is confident that the CEC, the  
11 manufacturers, the energy advocates and, you know, and  
12 all the stakeholders together can leverage the successes  
13 from the recent DOE rulemaking process to deliver an  
14 effective set of efficiency standards for pool pump and  
15 service components, such as the replacement motors.

16           We're also confident that we can align such  
17 regulations to ensure consumers realize the maximum  
18 benefits.

19           To the above points, the APSP and the industry  
20 respectfully request that the CEC consider all our  
21 comments as it develops its final rulemaking.

22           With that, I thank you for allowing me to bring  
23 these points in front of you. Appreciate it.

24           I'll invite any of my colleagues online or  
25 anyone here to add to what I've said or if I've missed

1 anything. Thank you.

2 MR. STEFFENSEN: Thank you. So with that, that  
3 concludes the formal presentations. If there were -- as  
4 Shajee alluded to, if there's anyone else from the pool  
5 industry that wanted to make a comment, we could go  
6 there.

7 We do have an online comment.

8 MR. FISCHER: So, this comment comes from Doug  
9 Philhower and it looks like there are two questions.  
10 The first one is in slide 7, so that would be your  
11 presentation, Sean.

12 He asks, "Although it doesn't list single speed  
13 motors greater than one total horsepower, can I assume  
14 it's in the 80-percent block?"

15 So, you want to repeat it again?

16 MR. STEFFENSEN: Hi, this is Sean Steffensen.  
17 For Doug's first question about what the standard would  
18 be for single speed pool pump motors above one total  
19 horsepower, the standard would remain unchanged.  
20 There's a general prohibition for those pool pump  
21 motors. They would not be allowed to be sold. So, it's  
22 not a minimum efficiency standard, it's just a  
23 prohibition. To allow for consumers to purchase dual  
24 speed and variable speed motors.

25 MR. FISCHER: Okay, so question two, in slide 8,

1 Doug wants to know how do you define waterfall pumps?

2 MR. STEFFENSEN: This is Sean Steffensen. I'm  
3 looking up the definition so I can describe how we tried  
4 to define those. Again, the effort here is to try to  
5 reflect what's currently available in the market and to  
6 describe its key features, so that it can be  
7 identifiable as a waterfall pump. And so that other  
8 pumps that exist cannot be additionally assigned a  
9 waterfall pump status. We are concerned about a  
10 loophole, so we're trying to define what the essential  
11 parts of it are. We would look for comments as to how  
12 to improve the definition.

13 Again, a lot of this was informed by the ASRAC  
14 working group. So, the definition for a waterfall pool  
15 pump and motor combination meets a maximum 1,800 rpm  
16 normal speed, motor-driven pool pump and motor  
17 combination, with a maximum head less than or equal to  
18 30 feet.

19 The requirements are two, one that it has a  
20 maximum speed roughly equivalent to half speed. And the  
21 other is that it has a maximum head or pressure that it  
22 can generate equal to 30 feet or less.

23 These values were chosen as part of the  
24 discussion at the ASRAC meeting. If, during that  
25 discussion -- and this was put out somewhat ahead of the

1 conclusion of that meeting. If we came to a different  
2 agreement, again, I would want to review that to  
3 understand how that could affect the California  
4 proposal. Thank you.

5 MR. FISCHER: And there was one other person  
6 online who also raised their hand, so I'm going to ping  
7 them real quick. If you could please type up your  
8 question in the chat, that would be great. Thanks.

9 MR. STEFFENSEN: So, in the meantime, we'll open  
10 the floor to public comment. Those in the room, we'll  
11 start with first and then we'll move to those online.  
12 So, if there was anyone in the room that wanted to  
13 provide a public comment, up to five minutes, we would  
14 invite you to approach the podium, where you can make  
15 those comments.

16 MR. MOREAU: Is this the only time for public  
17 comments or will there be more later?

18 MR. STEFFENSEN: Yes, this is Sean Steffensen.  
19 We will have a public comment period for spas. But we  
20 would like -- I guess the plan is, to lay it out, we've  
21 had the proposal, we've had the stakeholder formal  
22 presentations. We would now open it up for anyone who  
23 wants to make a public comment. And then, what we would  
24 like to do is then open it up for questions amongst the  
25 various participants.



1 MR. MOREAU: Yeah, my focus is spas.

2 MR. STEFFENSEN: Okay. Okay, great. So, has  
3 the participant online provided a question or a comment?

4 MR. FISCHER: So, we have Meg Waltner, who just  
5 raised her hand, so I'm going to unmute her. So, Meg,  
6 you can go ahead.

7 MS. WALTNER: Hi. Yeah, can you hear me?

8 MR. FISCHER: Yes.

9 MS. WALTNER: Great. This is Meg Waltner, with  
10 the Natural Resources Defense Council. I just wanted to  
11 make a brief comment in support of the CEC's proposal.  
12 The CEC has done a great job on the staff report and the  
13 extension of coverage to all pump motors will result in  
14 significant energy savings. So, just wanted to voice  
15 our support for the staff report on pool pump motors.

16 MR. STEFFENSEN: Hi. Thank you for those  
17 comments, Meg.

18 Sorry, could we mute the -- thank you.

19 So, I guess at this point we would like to  
20 discuss amongst the stakeholders and ask some questions.  
21 I had provided several discussion areas that are of  
22 interest to me, and I know that maybe some of the  
23 questions may be hard to answer. But we do look for  
24 information to help inform our rulemakings, market  
25 share, size of pumps, relative sales of replacement

1 motors versus pool pumps and motors sold together.

2 Those are very interesting.

3 I believe I've heard the APSP express their  
4 comments in light of the ASRAC meeting. If there were  
5 comments or questions regarding that, again I can't  
6 speculate as to what direction the Commission would go  
7 to. But we really want to hear from all interested  
8 parties so that we can have a full picture as to what it  
9 means, the proposal that was shown today versus the  
10 consensus, the great agreement we made out in  
11 Washington, D.C. about what we would do in the future.

12 So again, I just wanted to provide, again, my  
13 request. If there's some way we could discuss the  
14 replacement pool pump market, that is something of  
15 interest to me. So, I'll, I guess, call on Chad or  
16 Chad's got his hand up.

17 MR. WORTH: Yes, Chad Worth with the Cal IOUs.  
18 Just responding to a couple of comments in both Sean and  
19 Shajee's presentation. I guess an important thing to  
20 clarify in light of a lot of the DOE discussion here,  
21 the Department of Energy has authority to regulate pumps  
22 and the hydraulic characteristics of pumps. The Energy  
23 Commission cannot set an energy factor standard or  
24 anything related to the hydraulic characteristics of a  
25 pump.

1           Whether we can define them like that, while we  
2 would prefer not to, I guess is questionable. But they  
3 can only set standards based on the motor because that's  
4 the regulatory authority they have and they have not  
5 been preempted by DOE.

6           So, that's kind of the underlying conundrum  
7 we're in here is that California can set motor  
8 efficiency standards, the Department of Energy sets pump  
9 standards. And how those two interplay can be  
10 complicated, but we're hoping -- I think we're pretty  
11 close in finding numbers that would ultimately mean the  
12 same thing. And again, we worked really hard at the DOE  
13 to come to an agreement on a lot of those things and  
14 we'd like to build upon that.

15           Two, I guess, points to that. I hear what -- I  
16 think I understand some of the manufacturers' concerns  
17 with regards to there should be different motor  
18 efficiency standards for different pump types.

19           You know, however, I guess I would ask for your  
20 thoughts or recommendations. I understand the two in  
21 the room are OEM pump manufacturers and not replacement  
22 motor sellers. But like how do we address the issue of  
23 someone taking a motor that was not intended to go, say,  
24 on a self-priming pump, and put it on there?

25           If we let two and a half horsepower replacement

1 motors be sold on the market, they will be coupled with  
2 self-priming pumps, I think is really kind of the issue,  
3 and how we work through that.

4           And then secondly, I guess, just one comment,  
5 Sean, on your assumption of the 10 percent market share,  
6 less than one total horsepower. I recall that number  
7 from DOE and I'd like to clarify that that is for self-  
8 priming pumps. That was for self-priming pumps, only.  
9 If we add in non-self-priming pumps, I think we would  
10 see that market share be significantly higher.

11           MR. STEFFENSEN: It looks like perhaps Jeff  
12 wants to respond.

13           MR. FARLOW: Okay, this is Jeff from Pentair.  
14 And, Sean, just to address the concern over how a larger  
15 horsepower, single speed pump, if it was available on  
16 the market could be placed on a pump. And I'm not  
17 really going to address the technical feasibility of  
18 that, but I wanted to express the concern that even if  
19 that is prohibited in the State of California, if it's  
20 successful and anything one total horsepower, single  
21 speed is eliminated, without the enforcement arm there's  
22 nothing to prevent a truckload -- you know, a truck  
23 going to Nevada and picking up a whole truckload of  
24 single speed pumps and bringing them in, and installing  
25 them in that method.

1           And that is a concern that without enforcement  
2 there's a risk of that happening. And the problem with  
3 that is that what it does is it takes the reputable and  
4 credible dealers that want to respect the regulation, as  
5 it's written, and it makes them look bad when they're  
6 telling their customer this is what's required by the  
7 State regulations. And yet, you've got an unscrupulous  
8 person coming in behind them and they're like, ah, don't  
9 worry about it, I'll just slap this one in.

10           And so, there is that concern with the industry.  
11 And to date there's been very little, if any,  
12 enforcement of the current regulations. And without a  
13 real shift towards regulating this, I see it as a  
14 problem with being able to comply and get the savings  
15 that you're trying to achieve.

16           MR. WORTH: This is Chad with the IOUs. We  
17 fully agree and support CEC in their enforcement. And  
18 they certainly have been enhancing those capabilities in  
19 recent years.

20           The challenge now with the standard, as I think  
21 we're all aware of, is it was written by its residential  
22 filtration applications, which is highly unique for an  
23 appliance standard, and we're trying to move away from  
24 that. Because you could go to a distributor's warehouse  
25 and they could say, well, these motors are for

1 commercial pools or, therefore, you know, these other  
2 applications. And right now it's impossible to enforce.

3 And so by changing the definitions, that will be  
4 the first step. And then, agree a hundred percent, the  
5 second step needs to be enforcement.

6 MR. STEFFENSEN: Yeah, I agree. When we write  
7 regulations, we intend to enforce those regulations. We  
8 have created or regulations have gone into effect July  
9 of last year to broadly enhance the enforcement powers  
10 of the Energy Commission.

11 MR. FISCHER: Yes, so we have one -- oh, never  
12 mind, his hand went down.

13 MR. STEFFENSEN: I want to, again, thank Shajee  
14 for presenting his material. This is Sean Steffensen.  
15 And it is a lot to consider. I know that we want to  
16 look to the DOE. We participated in that meeting and  
17 gained consensus for a very strong national standard.  
18 So, it is somewhat reflected in the current proposal. I  
19 did take a look to see what we could do to try to  
20 emulate that. It does reflect, somewhat, a work in  
21 progress as we were moving forward to that consensus.

22 That being said, I'm trying to -- you know, I  
23 want to try to understand, you know, I think there's a  
24 lot of good material here. And there are a number of  
25 topics that I took notes on that, you know, we would try

1 to understand your concerns.

2 I may want to contact you and your partners to  
3 understand those concerns in more detail. So, thank  
4 you.

5 MR. SIDDIQUI: Yeah, we appreciate that, Sean.  
6 And I think we see -- we see the effort. And as I said,  
7 we support the efforts, we'd just like to make it a  
8 win/win for everyone, so thank you. And I think, like  
9 you said, we see that you are trying to do that, so  
10 thank you.

11 MR. FISCHER: So, we have a couple more. So, we  
12 have from the WebEx Dan Delaney. I'm going to unmute  
13 you.

14 MR. STEFFENSEN: Hi, Dan, would you state your  
15 name and also your organization, if you represent  
16 anyone, for the court reporter.

17 MR. DELANEY: Hello?

18 MR. STEFFENSEN: Hello, we can hear you.

19 MR. DELANEY: You can hear me?

20 MR. STEFFENSEN: Yes.

21 MR. DELANEY: Okay, very good. So, this is Dan  
22 Delaney with Regal Beloit, as well as APSP. I just  
23 wanted to clarify, I heard a comment and I wanted to  
24 make sure I heard it correctly. This is regarding the  
25 preemption. Obviously, there's a slide in our APSP

1 presentation and I just wanted to clarify again, or  
2 maybe there needs to be clarification from the CEC on  
3 this. But we are looking for clarification that,  
4 obviously, when the federal standard for pool pump goes  
5 into place what is the position of the CEC pool pump  
6 motor standard?

7 Kind of from what I heard in the comments, I  
8 don't know if it was Chad or Sean, that that may not  
9 preempt a pool pump motor standard, such as what is  
10 proposed here.

11 So, I'd just ask for clarity on that one more  
12 time.

13 MR. STEFFENSEN: Yeah, this is Sean Steffensen.  
14 Chad has spoken earlier on this topic. I'm a mechanical  
15 engineer, I think I'd get into a lot of trouble trying  
16 to speak in legal terms. I understand this question to  
17 be a legal question of preemption and what would happen  
18 given the circumstance you describe.

19 So I would ask if, you know, Mike wanted to  
20 provide a brief comment or not?

21 MR. MURZA: Yeah, we will make a comment, I  
22 think in our rulemaking package.

23 MR. DELANEY: Mike's mic was not operating  
24 there, I didn't hear any of that. Could that be  
25 repeated?



1           MR. MURZA: We will be providing more detailed  
2 comments regarding preemption, but we do see preemption  
3 occurring on the effective date of the federal  
4 standards.

5           MR. WORTH: And this is Chad with the IOUs.  
6 Just to clarify, what I think you mean is CEC would be  
7 preempted for new pump and motor combinations, but would  
8 have the ability to continue to regulate replacement  
9 pool pump motors?

10          MR. MURZA: Yes, that's correct.

11          MR. DELANEY: Okay. Well, we'll certainly look  
12 forward to further comments. I'm not sure if that  
13 was -- I was looking for more specifications on the  
14 regulation, obviously, of a pool pump motor, itself,  
15 versus the total pool pump. Obviously, two different  
16 type of systems at different levels. Just trying to get  
17 clarity. That's one of our concerns, obviously, that we  
18 don't want any ambiguity in the marketplace. We want a  
19 nice, clear understanding from the customers, the users  
20 of what those specifics are for both California and for  
21 DOE. Clearly, we'd love for those to be aligned.

22           When they're not aligned, clearly understood by  
23 the marketplace, and that's clearly not understood at  
24 this point by us as users -- or, I'm sorry, as  
25 manufacturers today. So, thank you.

1           MR. MURZA: And, yes, we will try and clarify  
2 that in our response to comments.

3           MR. STEFFENSEN: Hi, this is Sean Steffensen.  
4 Are there further comments, either in the room or  
5 online?

6           MR. FISCHER: So, Sean, I have a couple more  
7 hands raised. So, we have Ken Gregory and he had a  
8 comment about rebuilt motors. And he was saying that we  
9 have a lot of service people complaining about rebuilt  
10 motors being used to get around the standard. He does  
11 not have -- let's see, he's not tuned in with audio, but  
12 that was the comment that he had.

13           UNIDENTIFIED SPEAKER: Sean, if I could just  
14 add, because I was --

15           MR. STEFFENSEN: Hi, would you step to the mic  
16 and state your name?

17           MR. HELFT: This is Bruce Helft, from the  
18 California Energy Commission. So, this question was  
19 what I was going to raise as well, that whereas the  
20 enforcement, Title 20 regulates new regulated  
21 appliances, we noted that in this category of  
22 residential pool pump replacement motors that the  
23 warranty, home warranty companies, in cases where  
24 they're covered, will opt for rebuilt motors. Matter of  
25 fact, a call came in yesterday where there was

1 originally one single speed -- one horsepower single  
2 speed was replaced with a two horsepower rebuilt motor.  
3 And we cannot enforce on that, yeah. We cannot enforce  
4 on that because it's not new.

5           So, I was thinking in the workshop if there's  
6 any data that could be provided as to what you think the  
7 portion or the activity in that kind of rebuilt -- in  
8 that category, how we might be able to come up with some  
9 strategies to overcome that loophole.

10           MR. WORTH: This is Chad with the IOUs. I guess  
11 I have a clarifying question. What means "new"? What  
12 is the definition of new. I mean, we know there are  
13 manufacturers that repurpose, and repaint and sell,  
14 essentially, as a new -- what we know are used  
15 components as a new product for sale, with a new brand.  
16 Would that meet the definition of a new if it's offered  
17 for sale?

18           It would seem to us that if it's been -- I mean,  
19 some of the metal in some of these motors may have  
20 previously been aluminum cans. They've been repurposed  
21 and are marketed under a new brand and sold as a pump,  
22 but it would fall under Title 20 standards.

23           It's one thing to have a service guy go out and  
24 replace the bearings and the pump seal on a motor. It's  
25 another to offer for sale as a product that has rebuilt

1 equipment in it.

2 MR. STEFFENSEN: Hi. I'll least talk as to how  
3 I try to answer questions from the appliance hotline.  
4 In cases like this, where there's a general question,  
5 it's always very illustrative to see the product, I  
6 mean, that's being considered to understand how it's  
7 being marketed and weight it versus what's in Section  
8 1601 of Title 20, that talks about new appliances being  
9 regulated.

10 In talking generalities, it perhaps may be  
11 regulated. It may perhaps not be regulated. It's hard  
12 to say until we have that product in front of us to make  
13 a -- at least, as a mechanical engineer, again, I'll  
14 identify myself as not a lawyer and I'll try advice,  
15 only, to try to steer very clear of the line of the law.  
16 It's hard to say without knowing what that product is to  
17 know how, in a sense, how well it meets that new  
18 requirement for it to be within the scope of the  
19 appliance regulations.

20 So, it's a hard question to ask without an  
21 example to put in front of us.

22 MR. WORTH: Okay. Well, I guess in our opinion,  
23 in this particular case, if products are offered for  
24 sale and as under a new brand name, repurposed and make  
25 no mention -- or, regardless, but some of these make no

1 mention of them being rebuilt products. They are  
2 offered for sale as products and should come under the  
3 Title 20 standards. And we think that would be the way  
4 to close this loophole.

5 MR. HELFT: This is Bruce Helft from the  
6 California Energy Commission. The date of manufacture  
7 is what's certified to the Energy Commission and that's  
8 what determines when it's new. Then, when a new  
9 standard or test method comes into effect for that  
10 appliance type, it's archived and it's no longer in the  
11 active database. So that's what's considered, in my way  
12 of looking at it, unless Mike has a different opinion,  
13 it's the date of manufacture.

14 MR. WORTH: So, I guess what an alternative  
15 could be is if someone buys a motor it would be -- what  
16 happens is, right, they get these motors, they put new  
17 bearings in them, they put maybe a new capacitor on it  
18 or something, they put a pump head, they spray paint it  
19 a new color, they offer it for sale and that would be  
20 the situation. It's obvious to me that you would need  
21 to stamp that product as a new product because it has  
22 new components and it's essentially just recycled some  
23 old components.

24 MR. HELFT: So, you're saying that a rebuilt  
25 motor should be certified to the Energy Commission has a

1 new regulated appliance?

2 MR. WORTH: Correct. Some of these out there,  
3 they might be -- some of these motors or pumps out there  
4 may be a Pentair or Zodiac product, but when you buy  
5 it from, I think, these rebuilt manufacturers, it no  
6 longer says Pentair, it no longer says Zodiac. It has a  
7 new manufacturer, it's got a new SKU number, it's got a  
8 new -- you know, it's completely unidentifiable from the  
9 original manufacturer. So, if it's got a new nameplate,  
10 in our view I think that would count as a new product.

11 MR. SIDDIQUI: I'll chime in, this is Shajee  
12 with Zodiac. I'm sorry, this is Shajee Siddiqui with  
13 Zodiac. That's actually a concern because as far as a  
14 manufacturer, such as Zodiac, and I might speak for  
15 Pentair or even anywhere, if someone's doing that,  
16 that's not even a legitimate product to be honest with  
17 you.

18 MR. WORTH: Can you clarify what you mean?

19 MR. SIDDIQUI: Yeah, I mean if someone takes --  
20 you gave the example of a Zodiac or Jandy pump. And if  
21 there are people out there that are actually rebuilding,  
22 in the sense that putting new bearings in, and putting  
23 in a new capacitor, and then spray painting and selling  
24 it under another brand -- and even if it wasn't under  
25 another brand, if it wasn't done by one of our

1 authorized service centers -- first of all, we don't  
2 rebuild motors. But first of all, if we did, but if it  
3 wasn't done under the premise of one of our authorized  
4 centers or one of our authorized, even certified  
5 facilities, because that pump has an electrical safety  
6 certification to it. If there's a third party doing  
7 that, as far as we're concerned it's not even a  
8 legitimate product. It's an outlaw product. I think  
9 I'll go as far as saying that.

10 MR. FARLOW: This is Jeff with Pentair. I think  
11 I'm hearing two or three things on the table. I think,  
12 Chad, you're expressing a concern over somebody that's  
13 taking component pieces, reassembling and selling them  
14 as a whole good back into the market.

15 From our perspective, I share with him, it's not  
16 even a legitimate product. But at a minimum, if they're  
17 going to try to do that, it should be listed in the  
18 California Energy Commission database as a compliant  
19 product because it's going to serve as a whole good.  
20 And let me just state that.

21 Regarding, I think there is a bigger issue  
22 around just the component pieces for the replacement  
23 motor. I think that's commonly what's failed, that's  
24 the primary mode of failure for the pool pump. Where  
25 that motor may be pulled off, replaced with a new motor,

1 maybe a new compliant motor. But that old one is then  
2 rebuilt, repainted, like you said, new bearings, new  
3 capacitor, and then there are organizations or groups  
4 that will sell that as a replacement part.

5 And I think that's the bigger question, does  
6 that replacement part fall under compliance?

7 And Bruce, regarding your question on the home  
8 warranties, I think that's another unique. The way I  
9 understand it, our legal interpretation was Title 20  
10 applies to any product that is offered for sale into the  
11 market. And our interpretation of if it's replaced  
12 under warranty, that's not a transaction that's offered  
13 for sale and that falls outside of the regulation  
14 requirements. And so, it's just for warranty purposes,  
15 anything replaced under warranty was allowed to replace  
16 like for like. That's at least how our legal has  
17 interpreted it.

18 I think it exists, but I think that's a small  
19 issue in comparison to just the rebuilt motor industry.  
20 I don't want to call it an underground, but it is a -- I  
21 think that's a bigger issue than the items replaced  
22 under warranty.

23 MR. WORTH: And I guess, just to speak to the  
24 pool pump motor as a component, what CEC is regulating  
25 are pool pump motors and essentially regulating



1 components. So, I think that falls completely within  
2 the scope. I mean, it's exactly the definition of what  
3 CEC's regulating. Were they regulating pumps as a  
4 whole, there would be a stronger argument that the motor  
5 is a component. But we're regulating pool pump motors  
6 alone here. So, I think we're in pretty close agreement  
7 on that.

8 MR. STEFFENSEN: Yeah, Chad, I'll offer a  
9 comment to try to clarify what advice I would provide  
10 someone who asked me, is my replacement motor regulated.  
11 I mean, if it appears to be new, if it looks like it's  
12 new, I would advise them to comply with the regulation.  
13 I mean that's -- but again, I'm not a lawyer and a lot  
14 of this would be decided in a sense of proceeding. But  
15 if it looks like a new product, they really should be  
16 asking the question what are they doing here? Are they  
17 complying or are they not complying? And that's a real  
18 caution that I would advise them, as an engineer, that  
19 the regulation's fairly clear that replacement motors  
20 are a regulated product. It's difficult to determine if  
21 it's a rebuilt or new motor. They're in a sense a zone  
22 where it could be subject to interpretation and  
23 that's -- anyway, that's what I would say, but I'm not a  
24 lawyer.

25 MR. WORTH: I would just add, I think our

1 recommendation would be for CEC's Outreach and  
2 Compliance team to reach out to these folks to ask them  
3 to test and put their products in the database.

4 MR. STEFFENSEN: And we have done a bit of  
5 outreach. That phone survey that we did, I mean that  
6 helped. I saw the results. One of the students in this  
7 room here conducted that result.

8 And so we're looking at, you know, who we had  
9 contacted to see, you know, what is the current market  
10 to understand what is out there. So again, that was a  
11 helpful thing to see. We called all over California, it  
12 was very geographically diverse, to get a sense of  
13 what's being sold.

14 MR. FISCHER: Okay, so next on the lineup we had  
15 Meg Waltner. I think your hand was raised a while ago.  
16 I'm not sure if it was on the same topic. I'll unmute  
17 your right now.

18 MS. WALTNER: Sorry, I didn't mean to raise my  
19 hand, again.

20 MR. FISCHER: Okay. After Meg was George. It  
21 looks like we have two Georges. So, not George Nesbitt,  
22 but I don't have a last name, it's just George. I'll  
23 unmute you right now.

24 MR. STEFFENSEN: Hi, George, would you state  
25 your name for the record.

1           MR. NESBITT: Yeah, that's probably me on two  
2 computers. George Nesbitt, I'm a HERS rater, which  
3 stands for Home Energy Rating System. In California,  
4 we're independent third parties. We're also considered  
5 special inspectors to local jurisdictions. We are used  
6 for compliance with portions of the Title 24, Part 6  
7 Energy Code, the utility rebate programs and various  
8 other national energy programs like Energy Star Home.

9           So, enforcement. There's a lot of things about  
10 enforcement and it's really, you know, critical. And  
11 one of the problems is pools, as mentioned there are  
12 requirements in Title 24, Part 6 Energy Code on pools.  
13 We're talking about, right now, requirements in Title  
14 20, which is the appliance standards. I'm not sure what  
15 requirements are in the Plumbing Code.

16           But this is sort of an issue we have. And to  
17 use an example of Title 20 versus Title 24, is Title 20  
18 allowed 2.5 gallon-per-minute showerheads. Yet, the  
19 Plumbing Code and CalGreen, which is Part 11, both  
20 required 2 gallon-per-minute showerheads. Now, CalGreen  
21 applied only to new construction, whereas the Plumbing  
22 Code would apply to everything.

23           And typically, at least my interpretation is  
24 typically when you're replacing something, it has to  
25 comply with the current code. If you're repairing

1 something, it's typically exempt.

2           So, there you have a disconnect between two  
3 different State rules. So, I'm wondering to what extent  
4 you have thought about and looked at what you're doing  
5 in Title 20 versus what is actually in the Title 24, and  
6 whether you need to pull back requirements that are in  
7 Title 24 into Title 20, also, and/or vice-versa, and/or  
8 alter either to make sure that they agree with each  
9 other. So that people don't have to go multiple places.

10           And a lot of this comes back down to educating  
11 the installers, suppliers, manufacturers so that they  
12 actually know what the rules are and can at least act  
13 appropriately or choose not to.

14           And the other problem we have is you can buy out  
15 of state, whether online, or if you're close to the  
16 border, and get things that are noncompliant in-state.  
17 And so, to that extent, you know, the more consistent we  
18 are with national rules, the better for manufacturers,  
19 obviously, if they don't have to make products that only  
20 meet California requirements. I don't think there's a  
21 problem with us asking for, you know, better equipment,  
22 but as long as that equipment still meets rules  
23 nationally.

24           And what we're ultimately talking about is  
25 customers. And the customers that I audit, if they have

1 a pool, it's their biggest electric use, it's the  
2 biggest cost. And while we cannot force them or their  
3 professionals they work with to make the best choice, we  
4 can, hopefully, minimize making the worst choice.

5 MR. STEFFENSEN: Hi, thank you, George. I'll  
6 just address one of the comments you made regarding  
7 alignment of Title 20 versus Title 24 for pool  
8 regulations. Title 24 does have a variety of  
9 requirements that have to do with both the pool and  
10 pump, the pool pump motor and pool pump, as well as the  
11 various plumbing for new pool construction. For the  
12 pool pump and motor combination, that pool pump and  
13 motor must be selected from an approved, certified  
14 California Energy Commission database of pool pump and  
15 motors.

16 So, they are consistent, Title 24 points to  
17 Title 20 and asks -- and says that pump, that's going to  
18 be installed under Title 24's authority must be  
19 certified to the California Energy Commission as meeting  
20 the requirements of Title 20.

21 And I do agree, education is one of the pathways  
22 to achieving better compliance with the regulation.

23 Are there additional comments online, Ben?

24 MR. FISCHER: No hands raised right now.

25 We should have a break coming up for 15. Yeah,

1 15 minutes.

2 MR. STEFFENSEN: Hi, this is Sean Steffensen.

3 Let's break here, at the conclusion of the pool pump  
4 topic. Again, I would like to thank everyone for their  
5 participation today and the comments regarding this.

6 We will resume at 11:55, promptly, to begin the  
7 portable electric spa topic. Again, 11:55. Thank you.

8 (Off the record at 11:37 a.m.)

9 (On the record at 11:55 a.m.)

10 MR. FISCHER: All right. So, we'll go ahead and  
11 start the second half of the workshop for the portable  
12 electric spas.

13 Hi, everyone, my name is Ben Fischel. I'm an  
14 Associate Energy Specialist here, at the Energy  
15 Commission. And I want to welcome everybody here and  
16 all those tuned in, as well, to our second prerulemaking  
17 workshop on spas.

18 So, today I will be presenting the updates to  
19 our staff proposal that were detailed in the revised  
20 staff report that we posted in mid-June.

21 To briefly walk through the outline, I'll  
22 present our revised staff proposal in which I'll touch  
23 on the scope, the test method, the feasibility, the  
24 savings, the cost effectiveness and some discussion  
25 topics.

1           After my presentation, a few other speakers will  
2 be doing their formal presentations. And finally, we'll  
3 open it up to the comments.

4           So, the purpose of today's workshop is to  
5 clarify what the changes were since our last proposal.  
6 So, in summary, we've made a few small changes to the  
7 proposed definitions. We've added a few edits to the  
8 proposed labeling requirement, which includes an  
9 entirely separate combination spa label. And we've  
10 updated some numbers for the feasibility, estimated  
11 savings and cost benefit analysis in light of the  
12 additional data that has been submitted to our database.

13           So, what hasn't changed is the test procedure  
14 we're proposing, the standby power standard and,  
15 overall, our staff's focus on being technology neutral  
16 and performance based, rather than being prescriptive.

17           If you haven't had a chance to read the revised  
18 report, you can find it at the link we've provided in  
19 the slide. Also, we have some printed copies here, for  
20 those who are in the room. If you didn't get one, yet,  
21 I hope we haven't run out, yet. But they're near the  
22 sign in sheet, as you walked in.

23           Regarding public comments, they can be submitted  
24 any time from now through July 29th.

25           So the scope, since the last proposal, remains

1 unchanged. A portable electric spa, as currently  
2 defined in Section 1602 in Title 20, in the California  
3 Code of Regulations means a factory built electric spa  
4 or hot tub, supplied with equipment for heating and  
5 circulating water.

6           The first time around we proposed to expound on  
7 this definition, but we believe the definition as it  
8 exists is clear and suitable as it is, so it will not be  
9 altered. So in short, all portable electric spas are  
10 still regulated.

11           So, some proposed additional definitions in the  
12 revised report include one for exercise spas, one for  
13 combination spas, and one for the standby mode, which  
14 are all based off of the similar definitions within the  
15 proposed test method.

16           For the exercise spas, also known as swim spas,  
17 the definition will be a portable electric spa designed  
18 to produce a water flow intended for water therapy or  
19 recreational physical activity including, but not  
20 limited to, swimming in place.

21           For combination spas, also known as combo spas,  
22 the definition will be an exercise spa with multiple  
23 reservoirs of water capable of heating each body of  
24 water. So, to just illustrate, it's a proposed tree of  
25 definitions, with the unaltered general spa definition



1 being the umbrella. And right underneath it, as a sub-  
2 definition we have the exercise spas. And then  
3 underneath the exercise spas, we have combo spas, which  
4 are an exercise spa with an attached reservoir, similar  
5 to a traditional spa that can heat in its own separate  
6 system.

7           For the standby mode, the definition will be  
8 only the default settings as shipped by the manufacturer  
9 are enabled, except the water temperature, which may be  
10 adjusted to meet the testing conditions. No manual  
11 operations are enabled as defined in ANSI/APSP/ICC-14-  
12 2014.

13           So, this proposed test method remains the same  
14 one. We will still be going forward with that one, with  
15 the exception of the swim spa standby requirement, since  
16 staff is still proposing, as of right now, a uniform  
17 standard for all portable electric spa types.

18           So, for that uniform standard, staff is still  
19 proposing that for portable electric spas manufactured  
20 after January 1, 2018, the normalized standby power  
21 standard shall be 3.75 times the volume to the two-  
22 thirds, plus 40.

23           The proposed label still closely resembles the  
24 original label in the proposed test method. And it also  
25 includes a few modifications since our last time. There

1 will be a separate label for portable electric spas, for  
2 all three types. So, for the traditional portable  
3 electric spas, the exercise spas and combination spas.

4 The manufacturer will identify on the label what  
5 spa covers or covers were used during the tests.

6 For models testing with more than one cover,  
7 only the covers that result in compliance may be sold  
8 with the unit at the point of sale, which is congruent  
9 with language that exists in Section 1608(a)(3), of the  
10 California Code of Regulations. Which requires that the  
11 unit is sold with only and all the components, design  
12 characteristics and other features that affect energy or  
13 water consumption as the units that were tested and for  
14 which information was submitted.

15 For the sake of the label, only the cover that  
16 yields the maximum standby test result shall be the  
17 representative of the displayed energy consumption on  
18 that comparison spectrum.

19 One thing we'd like to make very clear about the  
20 staff proposal is that it will not affect sales of  
21 replacement covers or any stand-alone cover sales, since  
22 covers sold on their own are currently out of the scope  
23 of Title 20. They're not defined on their own as an  
24 appliance type. So, we are still proposing to maintain  
25 that.

1           The table shown in this slide is of Table X, and  
2 the additions and alterations to it, so those yellow  
3 fields. And so, these will accommodate the spa cover  
4 model number, the spa type, and designated volume and  
5 standby consumption fields for traditional spas versus  
6 the exercise spas. So, having these parsed out based on  
7 the spa type will allow for easier sorting of the data  
8 and easier certification.

9           So, for example, for combination spas both sets  
10 would be filled out, since there are two reservoirs, one  
11 being traditional and one being the exercise portion.

12           The feasibility of our revised proposal still  
13 relies on the data we've received in our Appliance  
14 Efficiency database, which was submitted to the  
15 Commission under penalty of perjury, for selling the  
16 units in California.

17           So, the total number of spas certified has been  
18 increased by about 120 or so models since the last time  
19 we analyzed the data, so we revised some of our numbers.

20           Looking at the data, compliance was found to  
21 still be achievable across most volume ranges.

22           For traditional spas, the percentage of those  
23 that would be in compliance with the proposed standard  
24 was 73 percent. And then for exercise spas, it was  
25 approximately 48 percent.

1           But these percentages do not account for the  
2 change in the testing temperature that the new test  
3 procedure proposes for the exercise spas, which is a 15  
4 degree difference. It's a decrease.

5           So, our staff assumes that there could be at  
6 least 20 percent less of a normalized standby power  
7 consumption resulting from this decrease in the testing  
8 temperature. And overlaying that on the data, there  
9 would be about 90 to 100 percent compliance based on the  
10 exercise spas that have been reported to us so far.

11           So, staff still could not, however, find any  
12 models in our database that were the inflatable spas.  
13 And we do realize that under the current scope and  
14 standard by default, their historical designs which may  
15 lack proper insulation or cost effective avenues for  
16 improvement prevents them from meeting the current and  
17 proposed standards, which is why they're not included  
18 right now in the projected statewide savings and cost  
19 benefit analysis.

20           Staff did consider, however, the energy  
21 consumption impacts of exempting inflatable and easy  
22 storage spas or creating a separate, more suitable  
23 standard. Staff also considered how to define the term  
24 "easy storage", as we are aware of rigid bodied spas  
25 that are modular and are designed for mobility.

1           We could not, however, at this time find a  
2 proper way to do this without creating a loophole where  
3 the market could shift to or in a sense race to the  
4 easiest energy standard level to comply with. So, we  
5 are really welcome right now to any suggestions.

6           Staff still believes, based on the data spread  
7 that we have in our database, that improvements can be  
8 made in the industry. Additionally, the test method  
9 we're proposing is a jointly-developed test procedure  
10 that represents current technologies in the market,  
11 making it suitable for the proposal.

12           So, our methodology for the cost effectiveness  
13 is still based on the reports and studies of the  
14 differences between a noncompliant spa and a compliant  
15 spa. We then looked at savings from decreased  
16 evaporation rates, and decreased electricity use, plus  
17 studies on the impacts of the label on consumer decision  
18 making as they're shopping.

19           The updated incremental costs from noncompliance  
20 to compliance for the exercise spas is up to \$375, now.  
21 We used the study that we referenced, which did not  
22 actually distinguish between a traditional and exercise  
23 spa sort of as the foundation. And we looked at the  
24 difference in cost of the units on the market and we  
25 scaled that.

1           And for the updated label costs, it's gone up by  
2 one penny, so 39 cents, based on some assumptions we've  
3 made of combination spas that could be out on the  
4 market.

5           The estimated savings from the proposed standby  
6 standard would total 6.1 gigawatt hours after the first  
7 year and 77.6 gigawatt hours per year following full  
8 stock turnover.

9           For the labeling requirement impacts, the  
10 estimate is based on a five percent impact on total  
11 consumption, with improvement made on sales-weighted  
12 average efficiency. After the first year, 6.9 gigawatt  
13 hours would be saved. And after full stock turnover,  
14 83.8 gigawatt hours as consumers continue to make more  
15 informed spa purchasing decisions.

16           For the environmental benefits, the estimates  
17 show approximately 17 tons, with 55,000 tons of GHG  
18 emissions being avoided. These projections are based on  
19 the amounts of energy savings from the proposed standby  
20 standard, as well as the impacts of the labeling  
21 requirement.

22           So, a couple of discussion items we thought of  
23 are shown in this slide here. The first one was what  
24 current method of improvement from noncompliance to  
25 compliance does the industry believe is the most cost

1 effective?

2 Another one is do manufacturers see any  
3 improvement trends in the spa market today?

4 And, how are small spa businesses affected by  
5 the staff proposal?

6 So, these are just some to help facilitate the  
7 discussion we'll have soon and the comments coming.

8 So, that about wraps up my presentation on our  
9 updated proposal. An important reminder, again, is that  
10 the comments during this comment period are due by 5:00  
11 p.m., on July 29th. They can be sent electronically to  
12 the docket link or by digital copy to  
13 docket@energy.ca.gov. Just be sure to include the  
14 docket number and indicate the correct title in the  
15 subject line.

16 And in this day and age, the hardcopy method  
17 still exists, so you can mail your comments to our  
18 Dockets Office.

19 So, my e-mail is up on this slide, so feel free  
20 to contact me with any of your questions. Again, we  
21 appreciate your attendance today and we're looking  
22 forward to all the comments that will be in the docket  
23 and at the workshop right now.

24 So, are there any questions right now,  
25 clarifying questions about the presentation I just gave

1 or the staff proposal? So, anything substantive please  
2 save for the comments.

3 MR. MOREAU: On?

4 MR. FISCHER: Yes.

5 MR. MOREAU: David Moreau, Western Urethane  
6 Systems. In your presentation, the CEC is estimating  
7 that the cost for improving insulation systems,  
8 exclusive of covers, is \$100 per spa. Is that correct?

9 MR. FISCHER: Let's see, so this was back at  
10 the -- yeah, so this was -- well, it says "and/or the  
11 cover", so we had those together.

12 MR. MOREAU: Well, just to clarify was that --  
13 oh, okay, don't need to hold it down. All right.

14 So, is CEC projecting that improvement in  
15 insulation on a portable spa, including the cover?

16 MR. FISCHER: Yeah, so it could be the  
17 insulation or the cover.

18 MR. MOREAU: It could be the cover, the  
19 insulation, or a combination?

20 MR. FISCHER: Yes.

21 MR. MOREAU: You're not designating that  
22 strictly the insulation system for the spa, exclusive of  
23 the cover; is that correct?

24 MR. FISCHER: Right.

25 MR. MOREAU: Okay. And is that an improvement



1 in the efficiency of a spa that's already insulated or  
2 is that one that's not really or not insulated?

3 MR. FISCHER: It should be for one that's  
4 already been insulated so --

5 MR. MOREAU: Okay, it's an existing insulation  
6 system of some kind existed in the spa?

7 MR. FISCHER: Yes.

8 MR. MOREAU: Okay. I have one other question  
9 concerning EU compliance issues. I just want to comment  
10 that we're fully familiar with EU compliance issues,  
11 particularly labeling. They have very strict  
12 requirements on like -- the amount of detail that they  
13 require for components in insulation systems is actually  
14 impressive, if not difficult. To the point where they  
15 want to examine all of the components of the insulation  
16 system in its raw state, not in its finished state,  
17 right. And that does impact choices and efficiencies in  
18 insulation, right.

19 MR. FISCHER: Yes.

20 MR. MOREAU: And that really needs to be  
21 understood if you're going to include -- and maybe I  
22 need to qualify, are you saying that your regulations  
23 would take into consideration EU compliance issues?

24 MR. FISCHER: So, you're talking about the  
25 European Union?

1 MR. MOREAU: Yes.

2 MR. FISCHER: So, we looked at a study that was  
3 based on -- it was looking at labeling impacts for  
4 refrigerators, and this was -- I think this was an EU  
5 label. I don't want to misquote this.

6 But we are saying that with the label that is  
7 proposed there, which is really based off of the test  
8 method. So, in the test method there's a section for a  
9 labeling requirement and that's heavily based on that.  
10 So, we're not bringing in any EU requirements,  
11 necessarily. We're just taking that label that was in  
12 the test procedure and --

13 MR. MOREAU: Okay. And then, when you refer to  
14 the label, you're referring to the published label on  
15 the appliance or the device when it's sold, as far as  
16 its energy consumption?

17 MR. FISCHER: Yes, so the standby energy  
18 consumption.

19 MR. MOREAU: Okay, but you're not referring to  
20 the requirements of EU, as far as the components that  
21 went into the product to achieve that insulation  
22 labeling?

23 MR. FISCHER: No.

24 MR. MOREAU: Okay. All right, you've qualified  
25 my question there, thank you.

1 MR. FISCHER: Okay, yes. Any others?

2 Okay, well, I will invite the next presenter.

3 This would be Charles Kim, from the California IOUs.

4 MR. KIM: Thank you. I'm Charles Kim from the  
5 Southern California Edison Company. I'm speaking on  
6 behalf of the California IOUs.

7 Accept my son's personal story. I wish my son  
8 is here, he can talk about spas more passionately than I  
9 am. Ever since he was about two, he fell in love with  
10 the spa. But he always asked me a question, why every  
11 15 minutes or 30 minutes, depends on where he is, he  
12 needs to go there and he has to reset the time clock.

13 And I explained to him because spa is very  
14 energy-intensive and it's demanding. And then, it looks  
15 like there's energy usage and the joy of being inside  
16 the spa is directly proportional. So, he learned that  
17 early on. And if he's here and sees that he can enjoy  
18 spa more, that costs less to him, then he will be  
19 ecstatic.

20 So, that's a personal story, not speaking on  
21 behalf of the California IOUs on that one. Sorry.

22 So, just like my son, I'm here to support this  
23 rulemakings. And in terms of the homes, there are three  
24 components that uses more energy than anything else.

25 Air conditioning is the one, pool pump is another one,

1 and potentially someone who can afford spa is another  
2 one as well. And if people get any other components,  
3 like a refrigerator, 20 years ago, 30 years ago, they  
4 demand about a thousand watt. Today, on average, it  
5 demands about 150 watts. With the benefit of  
6 leadership, the CEC set out long time ago and transform  
7 the market. Look at the lightings. It used to be the  
8 number one energy usage was the lighting. And for the  
9 last ten years, even shorter, we are now easily  
10 replacing 75 watts incandescent light with the LED that  
11 demands less than 10 watts.

12           And typical home has anywhere between 50 to 60  
13 of them in your house. So, you multiply that and  
14 multiply it by California, it has a significant impact  
15 as well.

16           So now, spa industries. There are many products  
17 available. It used to be only a few choices, now there  
18 are many different choices available. Who imagined that  
19 there will be a spa for exercise? I never envisioned  
20 there. I thought I just go in there, sit down and enjoy  
21 the warm water. Well, actually, some people doing  
22 exercise inside of there.

23           There's many different markets. There are many  
24 different demands from the people. But I want them to  
25 enjoy cost effectively. And this well-written report

1 clearly demonstrates it's technically feasible, very  
2 cost effective. And on top of that, if we put this one  
3 in combination of the spa cover, that saves water as  
4 well.

5           So, it means a lot to Californians, not just  
6 saving gas, electricity, but also save water without  
7 jeopardizing the quality of the enjoyment that my son  
8 enjoys very dearly.

9           So, I'm here to support what is proposed on the  
10 table and I'm very appreciative to CEC for leading, once  
11 again, the nation on this particular topic for many,  
12 many years. And now, we are at another chapter to  
13 increase the energy efficiency. Staff report, once  
14 again, clearly demonstrate and well written, well  
15 written and demonstrate that it is technically feasible,  
16 cost effective, and brings many benefits to  
17 Californians.

18           So once again, thank you, CEC. And then, also,  
19 we cannot succeed without the support from the  
20 industries. I know there are some differences between  
21 cover manufacturers and spa manufacturers, but we're  
22 facing the same customer who want to enjoy this. So, my  
23 gratitude and also challenge is can we work together.  
24 We reconcile many differences, but I think we're very  
25 close to reaching the small details. Can you work

1 together to bring maximum benefits to California that is  
2 cost effective and technically feasible. Thank you so  
3 much.

4 And next speaker is Chad, my colleague. And he  
5 is going to provide a very specific, minor improvements  
6 where CEC can consider. Once again, thanks so much.

7 MR. WORTH: Hello again, Chad Worth on behalf of  
8 the California IOUs. I'll say that again. Chad Worth  
9 on behalf of the California IOUs. Thank you, Charles.  
10 And thanks to the CEC, again, for a well-written revised  
11 staff report.

12 The IOUs have been involved in spa energy  
13 efficiency, as well, for a number of years. In 2004,  
14 along with pool pump motors, we proposed a Codes and  
15 Standards Enhancement Study for Portable Electric Spas.  
16 This took effect a couple years later and we've now had  
17 a portable electric spa standard in California for 10  
18 years, which has also been adopted in numerous other  
19 states throughout the country.

20 In 2008, there was actually a study of portable  
21 electric spas at Cal Poly San Luis Obispo to verify the  
22 savings, the test procedure and the standard level. And  
23 some of this data is still used today to inform this  
24 rulemaking.

25 And again, in 2012, the current rulemaking began

1 with CEC asking, initially, for a labeling proposal.

2 As has been mentioned, the current standard for  
3 portable electric spas, that went into effect in 2006,  
4 is a function of the volume. So, the volume raised to  
5 the two-thirds times five is the maximum allowable  
6 standby energy consumption. That's measured over a 72-  
7 hour period.

8 We have been involved in this rulemaking since  
9 the beginning. Back in July of 2013, we submitted a  
10 labeling proposal. A couple years later, the CEC had a  
11 public meeting and asked for, in addition to a labeling  
12 proposal, asked for a new standards proposal.

13 Shortly after, we engaged with the APSP-14  
14 Committee and spa manufacturers to negotiate and work  
15 together on a label and an updated standard level.

16 We then submitted what was, essentially, an  
17 industry consensus document, a new case report, which  
18 kind of morphed into the APSP-14-2014 standard.

19 In February, we were here and talked through  
20 some of these issues and here we are again today.

21 The IOUs broadly support CEC staff's proposal.  
22 We believe the proposed standards are cost effective,  
23 achievable, and will lead to significant energy savings  
24 statewide.

25 We think there's really three important changes

1 that are made within these standards. One, that Ben  
2 highlighted, the clarification of the definition of  
3 portable electric spas, the updated standby standard,  
4 and the label.

5 So, again, as Ben mentioned, we support the  
6 current definition and CEC's clarification of the scope  
7 of portable electric spas, and that they cover  
8 traditional, storable, exercise and combination above-  
9 ground spas.

10 The standby standards, again we worked with the  
11 industry to look at a number of different lines and this  
12 is ultimately where we ended up. We calculated this  
13 rule yields a market weighted energy savings of eight  
14 percent and eliminate roughly 28 percent of the spas, at  
15 least as of when we did this analysis a year ago or so.

16 And as Ben highlighted, part of this was giving  
17 a little bit of relief to smaller spas, as they  
18 naturally use less energy and kind of tilting the curve  
19 down a little bit towards some of the larger spas.

20 We originally proposed two label designs. This  
21 was my doing and I'm not a label designer. But we got  
22 the ball rolling here. Looking at both a continuous  
23 label and a categorical label. I think what we've ended  
24 up with is a superior solution, which looks something  
25 like this. And I credit the APSP-14 group for really



1 taking the lead on this.

2 We broadly support the labeling concept.

3 However, I think we're in agreement with -- I think what  
4 industry's going to comment on, with the original label  
5 proposed in the February staff report, where the upper  
6 bound is a fixed value as opposed to a function of  
7 volume. And the reason, just to -- I guess I can't  
8 really walk over here and point real quick.

9 The reason being, I think, currently what's  
10 changed in the current staff report, this upper limit  
11 would change as a function of the volume. This would be  
12 208 watts up here. And the result is that every arrow  
13 ends up fairly close to the right-hand side. And we  
14 feel that the value of this kind of label is when you're  
15 walking through the Alameda County Fairgrounds Spa Show,  
16 or a spa room show floor, you can visually see this  
17 one's on the left, this one's on the right, this one's  
18 in the middle.

19 Whereas, under this proposal visually everything  
20 would be to the right and, therefore, it wouldn't have  
21 that same effect of illustrating energy efficiency.

22 Though I do appreciate the intent of trying to say how  
23 efficient is this spa relative to others in its  
24 category, ultimately we just think it will be better for  
25 the consumer and perhaps make people consider smaller

1 spas that are more -- naturally more energy efficient.

2           Again, our suggestions for improvement, I guess  
3 that was one. And the other had to do with combination  
4 spas and, really, our proposal is that these spas just  
5 have one label. This isn't a major issue. However, the  
6 APSP-14-2014 test procedure does provide a test method  
7 for how to test the spa as the whole. You heat the swim  
8 part to 85 degrees, you heat the relaxation part to 100  
9 degrees, and then you test the spa. We think if that is  
10 what the test procedure says and what the manufacturer  
11 recommends, then we think it should be, you know, one  
12 wattage displayed with one label.

13           Or, perhaps, there's other technical reasons we  
14 can work through but, ultimately, we think it would just  
15 be most simple to follow the test procedure. Thank you.

16           MR. FISCHER: Okay, next we have Matthew Vartola  
17 from Bestway.

18           MR. VARTOLA: Okay. Good afternoon, everyone.  
19 My name is Matthew Vartola and I am here on behalf of  
20 the manufacturers of inflatable spa products.

21           Today I'm here to discuss the impacts that Title  
22 20 has had on our product category. So to begin, for  
23 those of you who are not familiar with what type of  
24 product I'm actually talking about today, as you can see  
25 from this picture here is basically a spa in a box.

1 Everything that you need, from pump, liner, cover,  
2 everything but the water comes in nice, convenient  
3 retail packaging that the consumer can take home, set up  
4 and have, basically, the water heating within hours.  
5 There's no need for any type of professional  
6 installation. No need for any type of rewiring or  
7 reconfiguration to the consumer's home electric system.  
8 Basically, plug and play.

9           So, inflatable spas in the U.S. market really  
10 started to receive significant placement and exposure  
11 around 2012. What's significant about this is that as  
12 you just saw from Chad's slides, that the Cal Poly had  
13 initiated in 2008. Thus, suggesting that inflatable  
14 spas and their product performance were not considered  
15 in the initial testing and, therefore, establishing of  
16 the test standards for portable spas.

17           The market for inflatable spas basically focuses  
18 on the price conscious consumer. Ranging from young  
19 adults, who are looking for a spa, you know, just for  
20 their college or rental home, to senior citizens who are  
21 looking for something more of a therapeutic and a  
22 relaxation type of product.

23           The size ranging on these types of products that  
24 you find in the market are relatively small, just about  
25 135 gallons to 250 gallons of water capacity. Which

1 from, you know, our literature, usually sits about two  
2 to six adults.

3           The average cost of what you find in the market  
4 is roughly between \$300 and \$400. And compare that to  
5 what you find in your hard-sided portable spas, which is  
6 \$2,000 to \$3,000.

7           So, in general, for many consumers, mostly  
8 lower, middle class and your renter, who do not want to  
9 invest or cannot invest in a more permanent fixed spa in  
10 their property, this is really the only type of product  
11 that gives them the benefits and the access to a spa.

12           Also, due to their ease in storability, and the  
13 fact that they're inflated, can be broken down and  
14 stored back into the retail packaging, and their  
15 inability to operate in cold climates, per our manuals  
16 and manuals of our competitors in the market, this is  
17 around 40 degrees Fahrenheit. Products are used and  
18 seen as seasonable products.

19           So, therefore, we do not assume that they are  
20 run year round and that they are mostly used when  
21 weather and temperature are permittable.

22           So, therefore, testing under current or proposed  
23 formula for year round usage produces misleading  
24 results.

25           As we've covered before, the definition of a

1 portable spa also includes our inflatable models. And  
2 the issue that we have as an industry, with this, is  
3 that we're applying the uniform test standard to a  
4 product type that, by design and by usage, is very  
5 different than what you find in your traditional  
6 portable spa.

7           So, basically, the effects on the inflatable  
8 spa. So, testing on inflatable spas by industry-leading  
9 manufacturers have shown that all models of inflatable  
10 spas have tested very, very high above the threshold  
11 that has been set by California. Thus, making all  
12 inflatable spas illegal to be sold in California.

13           And just taking some of the data produced by  
14 some of the more relevant models in the industry shows  
15 about 126 percent over the current threshold.

16           So, when actual energy usage and reasonable  
17 metrics are applied, the annualized consumption and cost  
18 is much closer to the portable spas of similar size.  
19 And I'll get into these metrics here, in a little bit.

20           So, the point of this slide, basically, is to  
21 show that and, you know, Ben had alluded to earlier,  
22 that there is no data, no availability to post these  
23 products on the CEC database because every single model  
24 of inflatable spa is illegal to be sold in California.

25           So, in the revised test report -- in the revised

1 report, I should say, the CEC estimated that inflatable  
2 spas utilize \$65 in electricity per month, for  
3 consumers. However, when looking at the data that  
4 manufacturers have received from testing to the 16G2  
5 standard, this number comes out to be much lower.

6 So, when you break it all down, the total cost  
7 per month, averaged out, is around \$49.65. Now, taking  
8 into the fact that these are not year round products,  
9 we're assuming that about seven months of seasonal use  
10 is applied. So, when you take seven months and average  
11 it out over a 12-month period, the total cost per month  
12 comes out close to \$30, at \$28.96.

13 And just making the assumption that  
14 manufacturers would incur a 10 percent improvement on  
15 their energy efficiency levels, this number would be  
16 dropped down to closer to \$25 a month.

17 So, when you break it all down, over a three-  
18 year life span, which is what we promote our products to  
19 be, around three years of total lifespan, plus the \$310  
20 average retail cost that the CEC assumed, the cost of  
21 the total life, including product and electrical usage,  
22 comes out to roughly \$1,250, which is less than that of  
23 a comparable, hard-sided portable spa.

24 So, just to highlight some of the  
25 recommendations that the CEC made in their revised

1 report, number one that any type of inflatable spa  
2 should not be granted any type of prescriptive measure.  
3 What this alludes to is the fact that many models on the  
4 market already come with a function that allows products  
5 to shut down after 72 hours of continuous use. Not all  
6 manufacturers have adopted this, but a large number  
7 have, and a large amount of models currently being sold  
8 in the U.S. have this.

9           So, to go along with what the CEC has said that,  
10 basically, this type of requirement as a prescriptive  
11 measure would open up loopholes to other types of spa  
12 manufacturers to have some type of prescriptive 72-hour  
13 shutoff, which would exclude them from needing to adhere  
14 to any type of efficiency standards.

15           Generally, as an industry, we do agree with that  
16 position and do see the -- kind of the conundrum that  
17 you would be in with having that type of prescriptive.

18           So, getting to the point here, what we recommend  
19 as an industry is that the CEC does not adopt uniform  
20 standby power performance standards across all types of  
21 portable spa products and that inflatable spas be held  
22 to their own unique standard based off of efficiency  
23 standards that are achievable without compromising the  
24 cost sensitivity and inflatable functionality of this  
25 item.

1           So, hypothetically speaking, if we were to  
2 improve these products to meet the current standards set  
3 by the CEC for portable spas, this would drive  
4 manufacturing costs up to nearly \$300, doubling the cost  
5 of the product, itself. And the reason for this is that  
6 the energy and efficiencies are coming from the fact  
7 that the spa, itself, is inflatable, and that heat  
8 convection causes the products to lose heat a lot  
9 quicker than a hard-sided spa would.

10           So, in order to meet the standards as they fall  
11 for any type of portable spa, that inflatable function  
12 would need to be eliminated. The spa walls, the spa  
13 cover would need to be filled with some type of foam,  
14 some type of insulating material which would increase,  
15 of course, the size of the retail package that -- well,  
16 it probably wouldn't even be able to be sold in a retail  
17 package. The shipping costs, as well as just the  
18 inflatable function, itself. Also, altering its  
19 seasonal use.

20           So, as an industry, we have proposed to commit  
21 to improved levels of energy efficiency compared to what  
22 the products are currently at, still keeping in mind  
23 that we do not want to lose the inflatable  
24 functionality, nor the price point that these products  
25 are coming in at, at the retail level.



1           In order to do this, we would need to work  
2 together with the CEC to develop concise definitions of  
3 inflatable spas that would not allow any other spa type  
4 to be basically included as a loophole, so that our  
5 energy efficient standards would be exclusive to our  
6 product type.

7           So under this proposal, we believe that it is a  
8 win/win/win for everybody involved. A win for the CEC,  
9 so that they could show improved energy standards in  
10 this product category. A win for manufacturers as this  
11 product category would not be, by default, eliminated  
12 from sale in California. And a win for consumers as it  
13 gives consumers, basically, an entry level, low price  
14 point spa. And overall, just extending the demographic  
15 and allowing spas to be enjoyed by a wider variety of  
16 people within the State of California.

17           Okay, thank you.

18           MR. FISCHER: So next, from the APSP, we have  
19 Mike McCague.

20           MR. MCCAGUE: Hello, can you hear me?

21           MR. FISCHER: Yes.

22           MR. MCCAGUE: Yes. Okay, great, thank you.

23           Okay, I'm Mike McCague.

24           MR. FISCHER: Sorry about that. I can control  
25 my slides for you, since I'm here.

1 MR. MCCAGUE: Okay, thank you.

2 MR. FISCHER: Yeah.

3 MR. MCCAGUE: Okay, let's go to the next slide,  
4 please. So, I'm Mike McCague. I'm the Chairman of the  
5 International Hot Tub Technical Committee. And I've  
6 worked in conjunction with Angelo Pugliese, who is the  
7 Chairman of the APSP-14 Portable Electric Spa Energy  
8 Efficiency Committee.

9 The next slide. So, we just have a couple of  
10 real quick things to bring up today, just to review and  
11 make light of the recently released information.

12 The next slide. So, I just want to point out  
13 real quick, we've done this already once, but we'll  
14 point out that the reference to 6.3.1, we believe, was  
15 taken from a previous draft of the APSP-14. With the  
16 intent there is that 6.3.1 was the exercise spa energy  
17 usage of the five to the two-thirds volume. That, in  
18 fact, has been moved to Section 8.2 in the published  
19 standard, in 2014. So, please make note of that in the  
20 legal language that was presented.

21 The next slide. Okay, so briefly I want to talk  
22 here about the labels, the labels that were presented in  
23 APSP-14, and then also touch on the label that is  
24 recommended or proposed by the CEC, and give an argument  
25 one way or the other on which one should be used.

1           Currently, you see the spa energy label has the  
2 manufacturer's information, basically what was presented  
3 earlier by Sean.

4           The next slide. This label here is for the  
5 exercise spas. Again, the same information. I do want  
6 to note and I didn't note previously -- can you go back  
7 a slide -- that this label here has a -- the energy bar  
8 chart goes from 50 watts to 450 watts, and that is  
9 representative of the industry of reported products on  
10 the CEC database for spas.

11           The next slide. The exercise spa label, again  
12 similar language to the spa. This one goes from 100  
13 watts to 750 watts, again representing the reported  
14 energy consumption from the CEC website.

15           The next slide. The proposed language or the  
16 proposed label, rather, is very similar. There's two  
17 points I want to bring up and discuss. One is the  
18 change or recommendation to change the bar chart label  
19 to reference the maximum allowed energy for that  
20 particular product. And there's also the additional  
21 cover language which just amends the existing language.

22           But the significant change here is the label now  
23 not representing a market piece, but rather specific to  
24 this particular model. And we spent a lot of time and  
25 discussion in the committees, working with the IOUs, and

1 the states and everyone when we put together the latest  
2 edition of APSP-14, and went with an industry wide bar  
3 chart because it will be easier to compare models side  
4 by side.

5 So, I wanted to explain and demonstrate the  
6 differences that you'll have if you take this approach.

7 The next slide. So, when you have someone  
8 shopping for a spa, they look at the size, they look at  
9 the cosmetic appeal, the color, the seating, the layout,  
10 and they look at the features and functions. And then,  
11 they make look at the performance numbers. There's a  
12 lot of wow factor when people look at hot tubs. And  
13 they look at, well, how is that going to fit in my  
14 backyard.

15 But now we have this energy label on the spa so  
16 people can have additional information to pick and  
17 choose.

18 The next slide. So, for example, we have spa A.  
19 Looking at this label, it's not a very efficient hot  
20 tub. It's like way falling off the edge of the unit.  
21 So, this is maybe not a good thing, I don't know.

22 The next slide. Now, we have another hot tub  
23 the consumer's looking at and they say, well, this  
24 energy marker is not hanging off the edge. This looks  
25 to be a more efficient tub.

1           The next slide. So, based on a consumer just  
2 looking at this and looking at that chart, they'll see  
3 that, well, this spa here, spa B is more efficient.

4           The next slide. But the reality is, is when you  
5 look at that and you compare these two units more  
6 closely, you'll see that the first spa, spa A, was a  
7 250-gallon, 180-watt spa. It uses quite a bit of energy  
8 on that bar chart, but the reality is it uses 30 watts  
9 less than the spa that they ultimately wanted to buy  
10 because it looks more efficient, the 500-gallon at 210  
11 watts.

12           So, there's this perception that this could  
13 happen very easily because when people just look at the  
14 visual information, they're not necessarily looking at  
15 numbers. They don't remember numbers. But they say,  
16 well, this one's way over there, it's not efficient.  
17 This other one's not so bad. I'll get the other. But  
18 the reality of it is it may not actually be that.

19           The next slide. So, we want to -- the problem  
20 with that maximum watt energy is you're only looking at  
21 one spa and people don't look, they don't shop that way  
22 and by, well, this 300-unit, 300 gallon versus 450.  
23 Because the volumes vary widely within a particular  
24 class of product, depending on the seat layouts and the  
25 lounges, or not lounges. And so the volume is not

1 always the best and most easy way to compare product.

2 Make sense?

3           So, we recommend right now to stay with the  
4 APSP-14 label program which compares the products as a  
5 whole, so when the consumer's shopping they can compare.  
6 When they look at that, they can see that, in fact, this  
7 one is more efficient than the other one. This one uses  
8 less energy to be more specific. Because what we're  
9 looking at is reducing the California energy  
10 consumption. We want people to use spas with less  
11 energy. We want people that are farther down that bar  
12 chart to a lower energy state.

13           The next slide. And here, on this way, I just  
14 wanted to bring up something here on the exercise spa  
15 label. Recognize the need for label or some way to  
16 address these spas and the proposed label, with both  
17 information, certainly is a possibility and doable.

18           But what we recommend here, the next slide, is  
19 we're asking for an option to just put a spa label and  
20 an exercise label on the product side by side.

21           The next slide. And the reason to allow for  
22 that is most manufacturers don't build combo spas.  
23 Those that do probably have one model, maybe. So,  
24 there's not a lot of these out on the market. And  
25 there's, basically, just a manufacturing, an extra cost,

**CALIFORNIA REPORTING, LLC**

52 Longwood Drive, San Rafael, California 94901 (415) 457-4417

1 now, of having to manage yet this third label that's  
2 different, that is not going to be used very much. And  
3 you're going to have to get quite a bit of these  
4 produced and then you're going to have to manage these  
5 labels separately through controls.

6 And we feel it would be nice to have the option  
7 to put side-by-side labels on there because that's  
8 consistent with how everyone else -- I mean, how all the  
9 other products are going to be labeled, spa side,  
10 exercise side, and people can see the data for that.

11 The next slide. Thank you for your  
12 consideration. And thank you very much.

13 MR. FISCHER: Okay, thank you, Mike.

14 Chad, you have a question?

15 MR. WORTH: Yeah, quick clarifying question,  
16 Mike. This is Chad, with the IOUs. A new APSP-2014  
17 standard, you referenced a section 8.2. I guess I'm  
18 looking at the 2014 standard, the one that was submitted  
19 to the Energy Commission in January of last year. I  
20 don't see a section 8.2. Has there been a newer version  
21 published since?

22 MR. MCCAGUE: We're looking into that right now.  
23 I'm not sure how -- what you received. That may have  
24 been a draft. I don't know. The published language and  
25 which was, I know Jennifer Hatfield with APSP has -- or

1 has resubmitted to CEC today, or yesterday, the  
2 published released standard.

3           The only difference, I believe, would be that  
4 movement of that information. So, there's no changes to  
5 the test protocol, there's no changes to the formulas.  
6 Just where that language is placed. It might have been  
7 an editorial change in a draft copy that you may have  
8 received, and there might have been an update or cleanup  
9 after that point. So, I apologize if you have an old --  
10 you know, and old standard there. But a new standard  
11 should be in your possession or available to the CEC  
12 already.

13           MR. WORTH: Thank you.

14           MR. FISCHER: Thanks, Mike. Yeah, in our final  
15 proposal, we'll make sure we go back and look to see if  
16 that's correct. Because right now we definitely don't  
17 have 8.2 in there, so we'll look at that. Thank you.

18           MR. MCCAGUE: You're welcome.

19           MR. FISCHER: So, from Western Urethane Systems  
20 we have Dave Moreau.

21           MR. MOREAU: Yeah, I have a question, though, on  
22 this.

23           MR. FISCHER: Yeah.

24           MR. MOREAU: Sorry. I have a question on this  
25 presentation. I think it was the first or second slide



1 you had the name of some people on the Committee and I  
2 missed that because you went away from it fast. Yeah,  
3 can I just get the spelling? That's Angelo?

4 MR. FISCHER: Yes.

5 MR. MCCAGUE: Yeah, Angelo is the Chairman of  
6 the APSP-14 Committee. And I am presenting on behalf of  
7 APSP and the International Hot Tub Association.

8 MR. MOREAU: Okay, good choice in talent, thank  
9 you.

10 MR. MCCAGUE: Okay.

11 MR. MOREAU: Do you want me up here or sit here?

12 MR. FISCHER: There's fine, as long as you speak  
13 loud enough for the whole room.

14 MR. MOREAU: Yeah, because I don't have -- my  
15 name is Dave Moreau. I'm the President of a company  
16 called Western Urethane Systems. And we currently  
17 insulate, and this will be debated by some people, but  
18 one in five spas produced in North America.

19 And we have stayed in contact, in communication  
20 with CEC because it is inevitable, and we're currently  
21 exerting pressure on the polyurethane industry for more  
22 efficient urethane systems. We're asking for innovation  
23 and R&D to see how we can improve the insulation  
24 properties of various foam systems, and their processing  
25 and procedure without cost penalties to the

1 manufacturer.

2           One of the things we've learned since 1996 is  
3 that good quality systems, properly processed and using  
4 proper procedures are actually very cost effective.  
5 Quality is not a penalty.

6           But we do have some concerns about the lack of  
7 clear definitions on various insulation systems and the  
8 proper understanding of things like what is dead air,  
9 and the tendency of confusion, on the consumer's part,  
10 to fully understand these systems. So, we're looking  
11 for common denominators for that.

12           Overall, we think that the industry is committed  
13 to improvement and they are asking for it. But we also  
14 want to outreach to the pump guys, and the plumbing  
15 people, because often we're asked to do things that  
16 impact the quality and performance of your product  
17 inadvertently. And so, we want to be able to  
18 communicate and look at the whole overall improvements  
19 as a composite system.

20           So, anybody that's in pumps and plumbing, we'd  
21 like to talk to you because we also know how your  
22 systems impact the overall efficiencies and test results  
23 of CEC.

24           I do want to quality, by the way, I do not speak  
25 on behalf of my customers. I'm speaking strictly on

1   behalf of my own company.  So, that's it for now.  We  
2   will be submitting some written comments by the 29th  
3   deadline.

4           And I have some questions.  Can I ask them now?

5           MR. FISCHER:  Are these -- so, I think, if  
6   they're clarification questions, they're fine.

7           MR. MOREAU:  Yeah, I need clarification.

8           MR. FISCHER:  Yes.

9           MR. STEFFENSEN:  I think we should allow  
10  everyone to present, first.

11          MR. FISCHER:  Yeah.

12          MR. MOREAU:  Yeah, okay, then I'll come back.

13          MR. FISCHER:  Yeah, we can come back to the  
14  questions.

15          MR. MOREAU:  Because I have some questions on  
16  your new dates.  Okay, thank you.

17          MR. FISCHER:  Yeah, okay, thanks, Dave.

18           So, finally, on our presentation lineup we have,  
19  from Coverplay, Jess Tudor.  So, if you'd like to --  
20  would you like to stay there or -- okay, if you can  
21  project your voice, it's perfect if you stay.

22          MR. TUDOR:  I'll try and do that.  I'll let you  
23  move the slides ahead, if you want.

24           I'll start by introducing myself.  I am Jess  
25  Tudor, with Coverplay, and I am a stakeholder at this

1 point. I've been a reference point for the Energy  
2 Commission for energy efficiency on spa covers, now, for  
3 a number of years.

4 And I'm here today to present some information  
5 about a product that we think can help solve some of the  
6 problems with energy efficiencies.

7 Some of the people here may remember, in 2008  
8 the CEC recommended that there be a test by PG&E, at San  
9 Luis Obispo, at the University there for Energy  
10 Efficiencies. And that became a matter of record.

11 Some of the people here may remember that Spa V  
12 was the one that I entered. And in all the test results  
13 it turned out that we had the most energy-efficient spa.  
14 We also believe that that became a matter of record  
15 because of the cover. I redesigned it to reflect a more  
16 energy-efficient barrier against heat lost, including  
17 convection.

18 I want to thank Michael Martin, formally, here  
19 at the CEC, of continuing to promote me to go in this  
20 direction, to try to do a better job while we're here.  
21 As engineers, we're here to design things and make them  
22 better, more efficient.

23 We think that the EPS foam cover as an  
24 irresponsible choice because it has interstitial gaps.  
25 those gaps allow water to invade the cover and become

1 grossly inefficient.

2           The next slide. The insulating value of EPS  
3 degrades in less than one year. We've tested it. We've  
4 seen it. It spurred my interest in this industry to try  
5 to resolve the issue. The industry-claimed R values  
6 mislead the public because they take dry test samples of  
7 foam and permit it, as if that were accurate if it's  
8 being used on the spa, when most of the people who know  
9 anything about foam, itself, it does take on the  
10 moisture in our immediate atmosphere, which reduces the  
11 energy efficiency about 35 percent.

12           The energy dollars lost every month to water-  
13 soaked covers is almost incalculable. A cover becomes  
14 water soaked and saturated after about two years. So,  
15 regulating a spa's energy efficiency by pumps and  
16 insulating cabinets is almost negated.

17           The MSDS reports toxic VOCs released when EPS  
18 and PVC are exposed to strong oxidizers is very  
19 prevalent on the internet, by the manufacturers of EPS  
20 and PVC.

21           The International Agency for Research on Cancer  
22 recognizes styrene as a probable carcinogen in humans.  
23 Mountains of polystyrene covers are tossed in landfills  
24 monthly, nationwide.

25           EPS foam buried in landfills for 20 centuries to

1 degrade. It is resistant to photolysis.

2           The inter frame spa cover is at least a  
3 sustainable solution.

4           The next slide. The average discarded spa cover  
5 represents 3,520 Styrofoam cups or 7 billion annually.  
6 This is a representation of that particular cup that I  
7 hold in my hand. Unfortunately, I have the bad news to  
8 report that I got this upstairs. And I was really  
9 surprised to see it, to tell you the truth. Oh, by the  
10 way, I did not have anything to drink out of it.

11           North Americans discard a mountain of spa covers  
12 a month. Annually, that would equal enough of these  
13 four-inch-tall polystyrene cups, laid end to end, to  
14 circle the globe at the equator more than 17 times.  
15 Incomprehensible.

16           The next slide. Planned obsolescence.  
17 Essentially, that's what you buy when you get a spa  
18 cover because it is going to fail. What length of time  
19 does it take? Depending on the ambient condition where  
20 you live. If you're in San Diego, you might get two or  
21 three years out of it.

22           But if you live in the mountains somewhere,  
23 maybe a year, maybe less. It's accelerated because of  
24 the condensation issue from warm water and the cold  
25 ambient condition which heats the water at the underside

1 or heats the air in the underside of the foam until it  
2 condenses at the surface of the foam. And that, of  
3 course, creates the condensation inside the permeable  
4 vinyl bags.

5 Oh, I guess I should do the bottom part. I  
6 described the spa covers that were, until recently, on a  
7 ratepayer's spa. These were all sitting on top of  
8 someone's spa a week or two weeks prior. The state, the  
9 condition of these spas is usually predicated on when  
10 the homeowner wants to replace it and usually that is  
11 when it's unmanageably heavy. He cannot move it anymore  
12 and he has to replace it, although that it's so degraded  
13 that he's paying two to three times the energy  
14 efficiencies that it would take to insulate that spa.

15 Some of these were so heavy that the -- I was  
16 with the gentleman who was throwing them away. This  
17 represents a one-month supply from his business. That  
18 he had to slash them to get them out of his trailer  
19 because he couldn't pick them up.

20 The next slide. Foam does not insulate. Some  
21 people do not understand that. But it's the air inside  
22 the foam that insulates. This is a ten power view of a  
23 typical section of polystyrene foam. And as you can  
24 see, the average vinyl spa cover on a heated spa is less  
25 than a year due to the interstitial gaps between those

1 foam beads, the last condensation to saturate it.

2 Applied vapor bowls intended to protect the foam  
3 actually help contain the condensation until the spa  
4 cover is unmanageably water heavy.

5 Warm water expands air and foam gaps until  
6 cooler ambient weather condenses it, creating water  
7 vapor inside the core. Increased differences in heated  
8 water temperature and cooler outdoor weather conditions  
9 accelerate water permeation accordingly. Water-  
10 saturated foam covers conduct heat and could cost up to  
11 three times more to hit a spa than standby ready power.

12 I know of no responsible representative for the  
13 spa industry that would disagree with this evaluation.

14 The dual hinge, the silent energy thief. There  
15 are still some people who can convince others their  
16 gusset provides an R-12 insulation, yet that differs  
17 from all test results. The dual hinge allows for a  
18 cover-lifting bar to transition the cover on and off the  
19 spa, stressing the thin vinyl hinge with predictable  
20 results. As you can see, it gets damaged.

21 Once these are damaged, it negates the  
22 warranties as a failed product from abuse.

23 Heat loss at the dual hinge is exacerbated in  
24 the ambient condition to create what we call the heat  
25 effect.



1           The next slide. The dual hinge versus the  
2 single hinge. A typical dual hinge design invites  
3 convection energy loss. The stitching leaks rainwater  
4 and the gap creates that chimney effect.

5           The single hinge or compression design  
6 eliminates the gap. I achieved that patent in 2005.

7           We also use the upholstery method so there's no  
8 stitching, no holes to perforate the fabric, itself.

9           The next slide. PVC vinyl stitching and UV  
10 sunlight. These photos are of damage done by the UV as  
11 it stretches the vinyl, which is made of PVC,  
12 petrochemical. It weathers poorly outdoors. These  
13 stitched spa covers are coming apart at the seams while  
14 off gassing dangerous VOCs bathers detect as they lift  
15 their spa cover. Everyone that's had one of these spa  
16 covers has had that obnoxious smell in their face a  
17 number of times.

18           The next slide. Toxic VOCs released when  
19 exposed to strong oxidizers. This is probably the most  
20 evidential information that we can present. The slide  
21 on the left shows a witness mark from the early damage  
22 from oxidizers to PVC scrim. The scrim is the underside  
23 of the cover that actually faces the water, that gets  
24 the oxidation of the sanitizers that are typically  
25 applied. And those sanitizers can be chlorine, brome,

1 hydrogen peroxide or ozone.

2           The slide on the right is all that remains of a  
3 PVC vinyl gray scrim, like the photo on the left, from  
4 spa sanitizers. This particular customer, who came to  
5 me and said is there a way you can replace the underside  
6 of my cover? And I asked him, what happened to this  
7 one? I'd never seen one so damaged. And he said, well,  
8 they set my spa ozone generator to run 16 hours a day.  
9 I said, oh, my, what are you protecting yourself from?  
10 He said, I don't know, that's just what they set it at.  
11 Well, that's a shame, you might be overdoing it. Again,  
12 this negates the warranty.

13           Inhaling these vapors or a transdermal exposure  
14 are inevitable when EPS foam is mixed with sanitizers,  
15 chlorine, hydrogen peroxide or ozone. The MSDS sheets,  
16 which are material safety data sheets, provided by the  
17 EPS foam manufacturers, suggest to avoid the contact  
18 with peroxides, oxidizing agents, acids or bases. It's  
19 extremely reactive.

20           Next. The Chemical Safety Act was just passed a  
21 few weeks ago and this is to safeguard and ensure that  
22 consumers are protected away from these kinds of  
23 criminal behaviors. You should be allowed to invite a  
24 chemical into our environment or our society without  
25 having it tested. And clearly, the EPS foam cover is

1 one of those.

2           This particular law allows the EPA to consider  
3 only the health and the safety impacts of a chemical,  
4 never the cost or the burden to the manufacturer who  
5 wants to use it. It ensures special protections for  
6 those most vulnerable from chemicals, defined in the  
7 bill as pregnant women, infants, the elderly and  
8 chemical workers.

9           It sets a new fee, so chemical companies will  
10 bear a larger share of the cost of evaluating and  
11 regulating chemicals. It provides certainty in the law  
12 about when states may step in if EPA does not act to  
13 regulate or ban dangerous chemicals.

14           The next slide. This is the list of the cities,  
15 64 cities in the State of California, who have already  
16 adopted the EPS rule, as opposed to food utensils, take  
17 home cartons, plates, cups, saucers, anything that has  
18 anything to do with EPS foam, as far as food regulations  
19 go.

20           And they've adopted and passed it, some of them  
21 as early as 1988. And now, of course, they're coming on  
22 board more and more. So, there are already 64 cities in  
23 this particular State that would like to be done with  
24 it.

25           Again, as I noticed, I looked at the list when I

1 downloaded this, and I did not see Sacramento on this  
2 list.

3           The next slide. San Francisco, God bless them,  
4 they banned all styrene January 1st, 2017. They no  
5 longer want it. We can't have it in any composite at  
6 all for anything. No beads, no peanuts, no sheets, no  
7 nothing. I like that.

8           They also voted, unanimously, which means they  
9 can't come up against some other bill, or some  
10 legislation, or a lobbyist to argue the point. That  
11 just happened as well, June 24th.

12           The 21st Century technology, the air frame spa  
13 cover, has been energy tested for five years. It's  
14 environmentally friendly. It's technologically  
15 advanced. It doesn't gain water weight. It's  
16 lightweight and easy to handle. There's no harmful VOCs  
17 or styrene. And it has a beautiful gas permeable  
18 fabric. It's the first serious consumer alternative.

19           The next slide. This radiant barrier technology  
20 is one that we looked at early on to try to find a way  
21 to segregate it inside the chambers so that it didn't  
22 touch anything. We knew that the radiant energy  
23 efficiencies were there, but metal, as everyone knows,  
24 is a great conductor. So, we just found a way to  
25 segregate it in the air chamber so that it didn't

1 conduct that energy into the chamber.

2 It reflects the energy back to the water and,  
3 usually, the radiant energy protects 50 to 80 percent of  
4 a typical spa cover loss. Achieved the patent on this,  
5 May this year.

6 Pollution poison. I made a presentation at the  
7 CEC, to Betty Chrisman, former Director of the Appliance  
8 Division. And she told me, when I made the presentation  
9 in 2011, to please don't leave. You've given us all  
10 this poison, you better have an anecdote. And I  
11 chuckled and said we do, we have one. We don't have to  
12 continue on with this nonsense.

13 Our tests show that spa covers that are made of  
14 EPS insulate poorly at two years. That the average EPS  
15 spa cover is replaced every four to five years. That  
16 gives PG&E and other energy companies, like Southern  
17 California Edison, a really difficult battle to be able  
18 to regulate spa energy if it's going to leak in a year  
19 and a half to two years.

20 The largest spa cover manufacturers in North  
21 America left California and relocated in Mexico. They  
22 replace about 15,000 covers a month for California,  
23 alone. Importing replacement EPS foam covers cost fuel,  
24 lost local revenue and lost jobs. It also costs  
25 millions of dollars in wasted energy.

1 Another issue to be concerned with, that  
2 everyone should be, the exposure to toxic healthcare  
3 issues. And, most importantly, 2,000 years of toxic  
4 waste in American landfills.

5 The next slide. The air frame anecdote. The  
6 air frame spa cover is the solution to halt this dire  
7 future now, before another 35 years pass. It will save  
8 wasted energy and million in California energy costs,  
9 bring manufacturing and jobs back to California,  
10 dramatically reduce the OC health exposure from reaching  
11 California residents and families. Children are still  
12 the most vulnerable.

13 Tens of thousands of toxic covers prevented from  
14 landfills. Creating a substantial spa cover that's  
15 recyclable and repairable.

16 I'm glad that the CEC's reviewing all these  
17 measures and taking a look at what they can do for  
18 energy efficiencies. It's very important. And as we  
19 all recognize, there's a very powerful body of  
20 collective people to be able to help initiate this.  
21 This has taken eight years, and my relationship with  
22 Gary Fernstrom, who's not here today, to encourage me to  
23 keep coming back year, after year, after year until we  
24 get something done. Well, we're on the precipice, now,  
25 of probably being able to do that.

1           If we're unable to do that and we're still going  
2 to go with polystyrene just because we can't make these  
3 changes, I have some other recommendations that I'd like  
4 to bring in on the record.

5           All materials must not constitute health hazards  
6 or contain VOCs. Covers insulate efficiently for a  
7 minimum of seven years. A minimum R-9 insulating value.  
8 Bi-folded covers have tested, approved insulating  
9 hinges. Pliable underside padding for efficient  
10 perimeter contact at the upper acrylic edge. The viable  
11 radiant barrier facing the water. Insulating components  
12 not to contact the heated water.

13           Those are the recommendations that I would make  
14 if we don't get rid of expanded polystyrene. But I  
15 would hope, with the evidence that I produced today,  
16 that we would all be sympathetic to that. I thank the  
17 Commission.

18           MR. FISCHER: Thank you, Jess.

19           So, that's it for the formal presentations.  
20 We'd like to open it up now to any comments in the room  
21 or online. Are there any online, Sean?

22           Okay, so Nathan. Okay, Nathan, you're unmuted.

23           NATHAN: I don't have anything to say. I don't  
24 think my hand was up.

25           MR. FISCHER: Okay. Oh, Chad, do you have one?

1 Okay?

2 MR. WORTH: Yeah, I have a question for my  
3 Bestway friends here. You mentioned an additional  
4 incremental cost, I think it was \$300 to meet the  
5 standard and you touched lightly on what it would take  
6 to do that.

7 Can you talk more about that?

8 MR. VARTOLA: Yes, this is Matt from Bestway.  
9 So, without giving away too much of our current R&D  
10 discovery, and everything like that, it would basically  
11 require that the inflatable chambers be filled with some  
12 sort of insulating material to reduce the amount of --  
13 oh, sorry. It would require that the inflatable aspect  
14 of the spa shell be filled with some type of insulating  
15 material to reduce the amount of heat convection that  
16 occurs with the spas at their normal construction.

17 MR. WORTH: I wonder what our buddy Jess here  
18 would say about that.

19 But I guess my point is, I mean Jess just made a  
20 strong argument for how good of an insulator air and  
21 radiant barriers are. And it just seems to be  
22 contrary -- I mean, he thinks that's the efficiency to  
23 energy solution. And I guess you're proposing the  
24 opposite.

25 So, I'm curious, have you looked into



1 baffling -- or baffles, or radiant barriers, as well?

2 MR. VARTOLA: I would have to check specifically  
3 with our development team on that, for those specific  
4 types of materials. But just generally speaking, it  
5 would require that we fill the inside of our inflatable  
6 shell with some of material to be able to hold that heat  
7 in.

8 MR. FISCHER: Okay, any other comments? Sean,  
9 from the -- oh, do you have one? Okay, Dave.

10 MR. MOREAU: I have a question. We've seen  
11 various dates. My understanding, originally, was that  
12 the new standard, and I want to quality that it's not a  
13 new test standard, it's just a different formula, was to  
14 be implemented July 2016 and enforcement date would be  
15 July 2017. But I've seen dates here of January 1, 2018.  
16 So, is that date that appeared earlier in a  
17 presentation, was that date the enforcement date or the  
18 implementing date?

19 MR. FISCHER: So that was the -- this is Ben,  
20 here. That is the effective date. So, any spa  
21 manufactured on or after that date has to comply with  
22 the proposed standards. And one manufactured before  
23 that has to meet the previous set of standards.

24 MR. MOREAU: Yeah, because you're using the term  
25 "effective date" now.

1 MR. FISCHER: Right.

2 MR. MOREAU: So, what CEC is advising the  
3 industry, then, is that you would have to be in  
4 compliance by January 1, 2018 and that's the enforcement  
5 date. Is that correct?

6 MR. FISCHER: Yes.

7 MR. MOREAU: Okay, so that would imply to me  
8 that your implementing date would then be January 1,  
9 2017. Would that be correct?

10 MR. FISCHER: It could be in early 2017. We  
11 don't have an exact date. But it's whenever it becomes  
12 adopted.

13 MR. MOREAU: Whenever it becomes adopted.

14 MR. FISCHER: Yes.

15 MR. MOREAU: In 2017?

16 MR. FISCHER: That's the hope right now.

17 MR. MOREAU: Yeah, okay, I just wanted to  
18 quality that because the timeframe before, Sean, when we  
19 spoke, was that you generally were forecasting  
20 approximately a year between when it was adopted and  
21 when it would become, in effect, law. Correct?

22 MR. FISCHER: Yes.

23 MR. MOREAU: Yeah, we just -- thank you.

24 MR. FISCHER: Yeah, thanks, Dave.

25 MR. STEFFENSEN: Hi, this is Sean Steffensen. I

1 would just like to ask Dave if there are any common  
2 issues that come up or arise when you take a look at,  
3 say, a spa that may be under-performing and how those  
4 may be cured.

5 MR. MOREAU: Am I on?

6 MR. STEFFENSEN: Yeah.

7 MR. MOREAU: Yes, we do see, and I'm fortunate  
8 that we have some really committed customers that use  
9 our insulation system, that have very large integrity in  
10 what they're doing in terms of efficiencies. So, we get  
11 some access to actual test results and get to actually  
12 go through the entire process with them.

13 The assumption, from our point of view, is that  
14 the insulation system, and it alone, right, can change  
15 dramatically the results of a CEC test. But what we do  
16 find is -- and I think, I know the question I believe  
17 you're specifically asking is we'd had a discussion on  
18 this before, is that how the plumbing is, where the  
19 plumbing's position has a big effect on the results.

20 And also, of course, the number of pumps, and  
21 everything else, and size of the spa, and all of that is  
22 true.

23 But one of the things that -- we've been in  
24 factories where we've looked a test results with very  
25 efficient plumbing systems, and then we've looked at

1 others that have what we call heavy-clustered systems.  
2 And where it's positioned in relation to the shell, to  
3 the skirt impacts the efficiency of the system, and it  
4 impacts it substantially, yes.

5           You know, I can't discuss that in too much  
6 detail because in some of these cases this is  
7 confidential, internal information, right. But that's  
8 why we'd like to talk to plumbing people, though, to  
9 see. You know, between the foam insulator and the  
10 plumbing people can we develop joint -- you know, can we  
11 work together on more efficient systems.

12           Did that answer your question?

13           MR. STEFFENSEN: Yeah, I think -- we had spoken  
14 prior to this workshop and you had used a radiator as an  
15 analogy to the plumbing system. That sometimes the  
16 plumbing system acts more as a radiator to take heat out  
17 of the skirt. Is that --

18           MR. MOREAU: Well, that's theoretical. The  
19 reason that we had mentioned that was because we looked  
20 at models prior to being insulated, a whole array of  
21 them. And then we looked at test results of those same  
22 exact models, right. And then we looked at  
23 discrepancies. Like why a certain spa, of a certain  
24 size, similar to another model of a certain size, the  
25 same water content, why was it getting -- one getting

1 poor results -- or less results, or what we call a pass  
2 level, right. And so, when I went back and I looked at  
3 all the photographs, I realized that, you know, it was  
4 the plumbing.

5           And then I went to another factory where I  
6 looked at a very -- what I considered to be a very  
7 unique plumbing system, and I looked at high results  
8 from there. And it coincided perfectly with that.

9           So, I'm not saying that's science that I'm  
10 quoting there, I'm just saying that was a theory that we  
11 raised that the plumbing moving forward, closer to the  
12 skirt.

13           And this, we suspect and we're doing some  
14 research on this right now, is related to air barriers  
15 and air movement. Okay.

16           MR. STEFFENSEN: I just have one, I guess, final  
17 question at this point, for myself. As far as like a  
18 spa, and this may be a question to the entire room, when  
19 a spa is under performing is running it in different  
20 modes, taking different control schemes, does that  
21 sometimes change the performance, alter it, or improve  
22 the performance, say, if the water flows more slowly, or  
23 more quickly, or just a different control scheme as far  
24 as how the spa maintains its temperature and pumps the  
25 water through.

1           You know, I'm just looking to see -- I always  
2 wonder by just pressing on how does that affect the spa  
3 performance versus, you know, there's sometimes eco-  
4 modes and other things that are characterized, or put  
5 out there, to see if that would change the results of  
6 testing.

7           MR. MOREAU: On that one, we did have a case of  
8 a company, and they actually are no longer in the  
9 business. They were a casualty of the crash in the  
10 market of 2008. But we did note and looked at their  
11 results, and they used an outside testing agency at the  
12 time. They didn't have their own internal, or own in-  
13 house testing system.

14           And we were having discussions with them on  
15 what, you know, what we were looking at. What we could  
16 do to improve the efficiency or to get a better CEC  
17 rating, right.

18           Now, when we came back a couple months later to  
19 resume that discussion, we were told that they didn't  
20 wish to change anything in the insulation system, that  
21 they did it simply -- and they showed us their test  
22 results. They did it simply by how they were  
23 reprogramming the run cycles of the motors.

24           Now, I want to qualify. We have no expertise in  
25 the area of that, other than does too much insulation

1   overheat electric motors, you know, on issues like that.

2           But they did show better test results and they  
3   did claim that it was almost exclusively in  
4   reprogramming. We considered that suspect. That's not  
5   to say that it was not true, but it just seemed like a  
6   little bit of too easy of a solution, right. So, that  
7   was the ever time when we ever saw how cycle times  
8   worked, right, and that.

9           The only other differences we've seen, as you  
10   may be aware, the Canadian standard requires that the  
11   test model be placed on a deck so that there's air  
12   movement under the spa. And then, the results of that  
13   depends on how the bottom of the spa is constructed, or  
14   whether it's covered, or et cetera. So, that's about  
15   the only difference.

16           There are differences in depreciating rates.  
17   So, insulation value over time, and there are studies  
18   that point towards possibilities that R values in  
19   insulations, values of products at the time of  
20   installation will depreciate over time. And that's been  
21   done by the Canadian National Research Council. It was  
22   a very good one.

23           I was going to address that to your spa guy,  
24   talking about the rapid depreciation of the insulation  
25   value when the insulation product in the cover gets wet.

1 And there is actual proof of that. That's an absolutely  
2 accurate statement.

3 So, one thing that we've noted in the industry  
4 is really good quality improvement in reducing leakage,  
5 which is a concern to the insulation aspect of it  
6 because water and permanent amounts of water in an  
7 insulation system rapidly depreciate it.

8 But anyway, I'm getting off track here.

9 MR. STEFFENSEN: I value these comments. They  
10 are important to understanding the system that we are  
11 intending to propose regulations for or change.

12 MR. FISCHER: All right, any other comments at  
13 all, online or in the room?

14 Jess, you have one? Meg Waltner, from -- okay,  
15 so we'll have Jess go first and then we'll have Meg up  
16 next.

17 MR. TUDOR: Do you want me to wait?

18 MR. FISCHER: You can go ahead.

19 MR. TUDOR: Oh. I was just going to mention  
20 that during the test that CEC performed at Cal Poly, the  
21 head of the engineering department there, Glenn  
22 Thorncroft, was the PhD on the project, called me at my  
23 office when they had my spa being tested. And he said,  
24 Jess, I'm going to ask you something, what did you do to  
25 your spa?



1           And I said, what do you mean what did I do? He  
2 said, the pump doesn't run and the heater doesn't run  
3 very much. It's just running randomly, but it's really,  
4 really hardly even working at all. What have you done  
5 to this spa in this energy pack? And I said, nothing.  
6 It's just like a refrigerator with no gasket. If you  
7 don't seal it, it's got to keep coming on, keep running.

8           This industry probably brought all these dual-  
9 hinged covers and they're dashing off. You've got a  
10 convection leak on every one of them, and mine doesn't  
11 have that.

12           And he said, so, your idea of energy efficiency  
13 is to shut off the equipment? And I said, well, that's  
14 what I would do. So, anyway, thank you.

15           MR. FISCHER: Okay, so Meg Waltner, from the  
16 NRDC, we're unmuting you right now.

17           MS. WALTNER: Yeah, can you hear me?

18           MR. FISCHER: Yes.

19           MS. WALTNER: Great. Meg Waltner from NRDC.  
20 Just wanted to voice NRDC's support for the CEC proposal  
21 on portable electric spas. Specifically, we support the  
22 updated standby standards. As the staff report  
23 demonstrates, these updated standards are cost effective  
24 and technically feasible.

25           We also support the clarification of scope as

1 discussed and inflatable spas are covered under the  
2 definition today, and we support the clarification of  
3 the definition in the staff report.

4 And finally, we support the addition of the spa  
5 label. We think this will enable further energy savings  
6 by customers choosing more efficient spas, when they're  
7 purchasing a spa.

8 We do agree with the IOUs' comments that on the  
9 label we think the maximum value should be a set amount  
10 for each category of spa, rather than changing depending  
11 on the spa size. So that a customer can more clearly  
12 see the difference in energy use between different spas.

13 So, in summary, we support the CEC's proposal  
14 and thank you for your hard work on this proposal.

15 MR. FISCHER: Thank you, Meg.

16 So, we have a couple more comments, you said,  
17 Sean?

18 MR. STEFFENSEN: Yeah, there's a question online  
19 from Jason Sin. His question is, "Is the January 1st,  
20 2018 date the planned implementation date or effective  
21 date?"

22 MR. FISCHER: So, right now that is what we have  
23 in our revised proposal. But we are open to consider  
24 anything -- any time to add to that. We can't say if we  
25 will or not, but you can provide that as a comment and

1 we'll look into that to see if we can.

2           Okay, and there's one more? Okay, Nathan, we're  
3 unmuting you.

4           Okay, so if that's all the comments, then, that  
5 concludes our spa portion of the workshop. So again, I  
6 encourage everybody in here, who's mentioned some really  
7 great comments, such as I remember the one from the  
8 inflatable spas, the average tested standby that someone  
9 mentioned, and any test report for that would be great,  
10 any data. So, anything you guys can give to reinforce  
11 your comments right now is really, really helpful so we  
12 can have a great final proposal.

13           So, Dave, you have a comment?

14           MR. MOREAU: Yeah, if I can, I just wanted to  
15 address your issue on that -- or make a comment on your  
16 cover. That's a question that we get asked a lot is  
17 how -- because we have a lot of expertise in urethane  
18 and my background is also in injection systems for  
19 urethane, how to improve the quality of a spa cover.

20           And you go through various scenarios and it  
21 always comes down to nobody wants to pay that kind of  
22 price because a good one -- we made an experimental one  
23 in 1988, and I made it in conjunction with a company  
24 called Polysource. And we used an injection machine and  
25 we made a cover. And this cover, the owner of

1 Polysource took it home and put it on his spa. And it  
2 lasted exactly 20 years. It was not, and I quote, "not  
3 an EPS-insulated system".

4 And the only way he destroyed it was his son's  
5 graduation party, when they got a little inebriated and  
6 they all danced on top of it, right.

7 And so, he had to go out and he was complaining  
8 to me that he had to go out and buy a conventional  
9 cover, EPS, right, and it lasted exactly one year.

10 So, you know, I concur with you that your  
11 concerns are extremely valid. But the issue comes down  
12 to cost and getting the consumer to understand the added  
13 value of an extended life and better, improve cover.

14 MR. FISCHER: Thank you, Dave.

15 So, if that's it, we will just wrap it up. And  
16 I think I'll turn it back to Leah for the next steps,  
17 before we end. So, thanks, all.

18 MS. MOHNEY: Thank you all for attending. I'll  
19 drop the microphone, now.

20 The next steps would be for you to submit all  
21 your comments and/or data, as was mentioned, so that we  
22 can consider it. And after we have considered all of  
23 your comments and the data that you submit, we will move  
24 forward with this. And we will either come up with a  
25 new or updated report, and we'll do that once we




**REPORTER' S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of August, 2016.



---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of August, 2016.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520