

DOCKETED

Docket Number:	16-IEPR-06
Project Title:	Southern California Electricity Infrastructure Reliability
TN #:	213525
Document Title:	Transcript of 08/29/16 Workshop Re: Southern California Electricity Infrastructure Assessment
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/8/2016 8:33:26 AM
Docketed Date:	9/8/2016

CALIFORNIA ENERGY COMMISSION

LEAD COMMISSIONER WORKSHOP

In the Matter of:) Docket No.
) 16-IEPR-06
)
) WORKSHOP Re: Southern
2016 Integrated Energy Policy) California Electricity
Report Update (2016 IEPR Update)) Infrastructure
_____) Assessment

CALIFORNIA ENERGY COMMISSION

THE WARREN-ALQUIST STATE ENERGY BUILDING

ART ROSENFELD HEARING ROOM

(HEARING ROOM A)

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

MONDAY, AUGUST 29, 2016

1:00 P.M.

Reported By: Peter Petty

APPEARANCES

Commissioners Present

Robert Weisenmiller, Chair
Karen Douglas, Lead Commissioner
David Hochschild, Commissioner

Staff Present

Heather Raitt, IEPR Lead
Matthew Layton
Mike Jaske
Lana Wong

Joint Agency Partners:

Tom Doughty, California Independent System Operator
(CAISO)
Laki Tisopulos, South Coast Air Quality Management
District (SCAQMD)
Jonathan Bishop, State Water Resources Control Board
Mike Florio, California Public Utilities Commission

Panel Presenters (* Via telephone and/or WebEx)

Kendall Helm, San Diego Gas & Electric (SDG&E)
Caroline McAndrews, Southern California Edison (SCE)
Neil Millar, CAISO
John Jontry, SDG&E
Dana Cabbell, SCE
Bhaskar Chandan, SCAQMD
*Jim Swaney, San Diego Air Pollution Control District
(SDAPCD)

Public Comment

Steven Kelly, Independent Energy Producers (IEP)
Gregory Blue, Cogentrix

I N D E X

	<u>Page</u>
Introduction	
Heather Raitt, IEPR Lead	5
Opening Comments	6
Chair Robert B. Weisenmiller, California Energy Commission	
Commissioner Karen Douglas, California Energy Commission	
Mike Florio, California PUC	
Tom Doughty, California ISO	
Commissioner David Hochschild, California Energy Commission	
Laki Tisopulos, South Coast Air Quality Management District	
Jonathan Bishop, State Water Resources Control Board	
Panel 1: Update on Activities Identified in Draft Plan	
<i>Preferred Resource Development and Generation Power Purchase Agreements</i>	8
Kendall Helm, San Diego Gas & Electric	
Caroline McAndrews, Southern California Edison	
<i>Transmission System Additions</i>	24
Neil Millar, California Independent System Operator	
John Jontry, San Diego Gas & Electric	
Dana Cabbell, Southern California Edison` `` `	

I N D E X (Cont.)

	<u>Page</u>
Panel 1: Update on Activities Identified in Draft Plan (Cont.)	
<i>Generation Permitting</i>	36
Matthew Layton, Energy Commission	
Panel 2: Update on Contingency Mitigation Analyses and Contingency Measures	
<i>Projections to Support Contingency Mitigation Decision Making</i>	58
Mike Jaske and Lana Wong, Energy Commission	
<i>Proposed Contingency Mitigation Options</i>	72
Mike Jaske, Energy Commission	
<i>Permit Shelf Life/Extension in South Coast Air Basin and San Diego</i>	86
Bhaskar Chandan, South Coast Air Quality Management District	
*Jim Swaney, San Diego Air Pollution Control District (via WebEx)	
Public Comments	101
Lead Commissioner Summation/Closing Remarks	107
Adjourn	111
Court Reporter's Certification	112
Transcriber's Certification	113

1 P R O C E E D I N G S

2 August 29, 2016

1:05 p.m.

3 MS. RAITT: Welcome to today's Lead Commissioner
4 Workshop on Southern California Electricity Reliability.
5 Today's topic is reliability issues related to the closure
6 of San Onofre Nuclear Generation Station and the phase out
7 of once-through cooling technologies. I'm Heather Raitt,
8 the Program Manager for the IEPER.

9 A few housekeeping items: restrooms are in the
10 atrium. There's a snack bar on the second floor at the top
11 of the stairs. If there's an emergency and we need to
12 evacuate the building, please follow staff to Roosevelt
13 Park, which is across the street, diagonal to the building.

14 Today's workshop is being broadcast through our
15 WebEx conferencing system. Parties should be aware that
16 you're being recorded. We'll post an audio recording on
17 the Energy Commission's website in a couple of days, and a
18 written transcript in about a month.

19 There will be an opportunity for public comments
20 at the end of the day. We're limiting comments to three
21 minutes each. If you'd like to make comments, please fill
22 out a blue card there at the entrance to the hearing room.
23 And when it's your time, we'll take comments from the
24 center podium. After hearing from folks in the room, we'll
25 hear from WebEx participants and then phone-in

1 participants. And if you're on the WebEx and want to make
2 a comment, please use the chat function to tell the WebEx
3 coordinator you'd like to make a comment.

4 Public written comments are welcome and they are
5 due on September 12th and the workshop notice provides
6 information on how to submit comments. And with that I'll
7 turn it over the Commissioner for opening remarks. Thank
8 you.

9 CHAIRMAN WEISENMILLER: Good afternoon. I'd like
10 to thank all the stakeholders for their participation this
11 afternoon. And certainly looking around the dais we have a
12 pretty full group, which again I think symbolizes really
13 the importance all of us have taken on a coordinated inter-
14 agency activity to deal with the consequences of the San
15 Onofre shutdown. Obviously, we're very far along on this,
16 but part of it is not being complacent, but seeing where
17 the major actions are and make sure we're staying on track,
18 so looking forward to the update today

19 This is -- we've done this every year now, since
20 San Onofre went out. This is the first time in Sacramento
21 instead of within Los Angeles, which hopefully guarantees a
22 more cooperative AV system. (Laughter.)

23 COMMISSIONER DOUGLAS: Hi. This is Commissioner
24 Karen Douglas with the Energy Commission. As the Lead
25 Commissioner on IEPR this year, I'd like to join the Chair

1 in extending my welcome to everybody participating in this
2 workshop today, so thank you.

3 COMMISSIONER FLORIO: Mike Florio, California
4 Public Utility Commission. This is a continuing story,
5 looking forward to the updates on where we stand, and what
6 other efforts we may have to add to get to the finish line.
7 But this has been a very cooperative effort for a number of
8 years and I hope that that continues to the finish line.
9 Thank you.

10 MR. DOUGHTY: And Chair Weisenmiller, Tom Doughty
11 with the California Independent System Operator. I too
12 want to celebrate the collaboration we've enjoyed over the
13 last couple of years, four years I guess it is now.

14 I've sat in on virtually dozens of phone calls on
15 SONGS mitigation measures. And I've seen tremendous
16 cooperation from the agencies as well as the utilities and
17 others. So I know we'll keep that going into the coming
18 months and look forward to a healthy discussion on where we
19 are. Thank you.

20 COMMISSIONER HOCHSCHILD: David Hochschild, I'm
21 the Lead for Renewables at the Energy Commission. Welcome
22 to everybody.

23 MR. TISOPULOS: Laki Tisopulos, South Coast Air
24 Coast Management District. Thank you for inviting us to be
25 part of this very important proceeding. Keeping the lights

1 on is a very important issue for my agency, Southern
2 California, and for all of us. It's not just a health and
3 safety issue, but it's also an environmental and an
4 economic issue. So we are looking forward to a very
5 productive and informative workshop. Thank you.

6 MR. BISHOP: Jonathan Bishop with the State Water
7 Resource Control Board. Once again happy to be here and
8 looking forward to hearing what the updates are and
9 providing our input into how to move forward.

10 MS. RAITT: Okay Great. So our first panel is on
11 the Update on Activities Identified in the Draft Plan. And
12 the first speaker is Kendall Helm from San Diego Gas and
13 Electric.

14 MS. HELM: All right, good afternoon. My name is
15 Kendall Helm. And I'm the Director of Origination for San
16 Diego Gas and Electric. I serve in the team responsible
17 for acquiring all energy and capacity needed to serve our
18 customers.

19 I would like to thank the California Energy
20 Commission, the California Public Utilities Commission, and
21 the California Independent System Operator for their
22 leadership in monitoring progress needed to ensure electric
23 reliability in Southern California, with the retirement of
24 SONGS and once-through cooling technologies.

25 Before I address SDG&E's Procurement Update since

1 last year's workshop, I would like to take a moment to
2 highlight our progress in meeting another important state
3 goal of reaching a 50 percent Renewable Portfolio Standard
4 by 2030.

5 Last year, in August of 2015, SDG&E was the first
6 utility in California to announce that 33 percent of the
7 power delivered to customers over the previous 12 months
8 was from renewable sources. This number has risen to 35
9 percent for the full year 2015 and we expect to reach a 45
10 percent RPS by 2020. And this is just coming from supply
11 sources that are already contracted or under an ongoing
12 program.

13 As such, we believe SDG&E is well positioned to
14 meet the state goal of the 50 percent RPS by 2030. I
15 mention this today because we're very proud of being a
16 clean energy leader in the state and because our RPS
17 position will necessarily shape our preferred resource
18 procurement plans going forward.

19 Turning to our RFO status, as you know, the CPUC
20 authorized SDG&E to procure between 500 and 800 megawatts
21 of local resources in response to the retirement of SONGS
22 and OTC technologies. The amount is reflective of capacity
23 needs in 2022, but we have local shortages projected to
24 begin in 2018, after the Encina Power Plant is scheduled to
25 retire.

1 For this authorization, the CPUC approved our 500
2 megawatt PPA with Carlsbad last year. The original
3 schedule was for this power plant to be online in November,
4 2017, but with the decision under appeal, NRG now expects
5 that plant to be online in the second quarter of 2018.
6 Through our conversations with NRG, they have stated
7 confidence with this timeframe assuming there is timely
8 resolution of the appeal.

9 In March of this year, we also submitted two
10 preferred resource contracts from our 2014 all-source RFO.
11 We submitted a 20 megawatt energy storage contract that is
12 scheduled to be on one in 2019, and an 18 megawatt energy
13 efficiency contract scheduled to start in 2018.

14 We are also in the midst of running a second RFO
15 for preferred resources only and expect to have our short
16 list identified in October. We're in the midst of
17 analyzing bids for that RFO right now, but we've received
18 very good participation from both demand side and supply
19 side sources. We plan to run additional preferred resource
20 solicitations as needed to meet our 2022 requirement. And
21 we plan to use a measured approach. And we're doing this
22 to ensure we continue to capture the benefits of market
23 innovation and development along the way.

24 Two other procurement efforts, for local capacity
25 and energy that I would like to mention, relate to

1 preferred resources.

2 First, in response to the May, 2016 CPUC
3 resolution, authorizing expedited energy storage
4 procurement, we were able to leverage the current RFO in
5 order to solicit interest from parties that could provide
6 energy storage to be online by the end of this year, or
7 first thing next year.

8 We were able to successfully leverage this
9 process and sign up two energy storage contracts, a 30
10 megawatt energy storage contract that will be built at our
11 Escondido substation and a 7.5 megawatt project that will
12 be built at our El Cajon substation.

13 With these two projects, we will have contracted
14 for a total of 107 megawatts of energy storage, which puts
15 us about 65 percent of the way towards our 165 megawatt
16 energy storage goal by 2024.

17 Second, we're in the midst of procuring renewable
18 energy from local sources for our Green Tariff Shared
19 Renewables Program. This is the program where customers
20 can sign up for a special tariff that accords with 100
21 percent renewable energy from local projects or where local
22 developers can bid in a project and sign up customers
23 directly to ascribe to their project. We have already
24 procured 20 megawatts from a solar PPA for the special
25 tariff and we're running a solar solicitation for

1 developers to bid in customer-ascribed projects under the
2 enhanced community renewable solicitation. Though the
3 program's only 59 megawatts right now, we think this is an
4 important program, not only to help with local reliability,
5 but also to provide customers with additional choices on
6 their energy mix.

7 Finally, we were asked to comment on any relevant
8 insights about local reliability from the procurement
9 perspective. The one I would highlight today relates to
10 our focus at SDG&E on looking to the future, where
11 procurement is optimized through the IRP process. As you
12 know, SB 350 requires the CPUC to identify optimal
13 portfolios to meet combined objectives of reliability, cost
14 effectiveness and achieving the state's GHG reduction
15 goals.

16 We will support and collaborate with all
17 stakeholders in development of IOP process. And at SDG&E,
18 we're preparing for our procurement activities to be
19 affected by this legislation. We're very much in support
20 of Integrated Resource Planning and we expect we'll be
21 doing more procurement where both demand side and supply
22 side resources are competing. We're seeing this
23 competition play out successfully in our preferred
24 resources RFOs and we look forward to developing this
25 approach further.

1 This concludes my remarks and thank you for your
2 time.

3 MS. RAITT: Thanks. Next is Caroline McAndrews
4 from Southern California Edison.

5 MS. MCANDREWS: I feel so short back here.

6 Good afternoon. I was asked to come and present
7 about the status of our LCR RFO as well as provide an
8 update on the Preferred Resources Pilot.

9 So I'll first start off -- and the two are very
10 much related -- so I'll first start off with information
11 that you probably are well aware of. We launched an RFO
12 back in 2013 timeframe and four preferred resources as well
13 as energy storage. And what you see on the slide there are
14 the totals of which we have signed contracts for. We also
15 included in that solicitation gas-fired resources, gas-
16 fired generation and that's also listed there.

17 In 2014, we filed our application, which again
18 you've heard this last year, and then since then in
19 November of 2015 we did obtain a final decision for Western
20 LA Basin. And there have been several appeals and
21 rehearings. And so as of June 16th, right now, what we
22 have is approval of those contracts and the CPUC denying
23 the application for rehearing as well as an additional
24 authorization to acquire an additional 170 megawatts of
25 preferred resources.

1 So with that, the real implication here is that
2 the developers are going off and they are actually seeking
3 customers to sign contracts with them and develop the
4 resources. Some of the online dates, because of the long
5 process that it has taken have been rescheduled to be a
6 little later, but the online date is still expected to be
7 2021.

8 Why this is important, and it relates to the next
9 topic, which is the Preferred Resources Pilot is that some
10 of those contracts were scheduled to come online in 2016
11 and also 2017 in support of the Preferred Resources Pilot.
12 Which is a SCE Initiative, which really wanted to look at
13 how are preferred resources performing, will they deliver
14 what's needed, when needed, for as long as needed? And so
15 really just focused on can we acquire them? Can we deploy
16 them? And can we measure their contribution and count on
17 them just as reliably as we would gas-fired generation?

18 And so there's a lot of value to this project.
19 Again, this is a recap of last year, so I won't spend a lot
20 of time on it, but since then what we've also done is focus
21 certain portions of that, of our project, to support the
22 Distribution Resources Plan and the demonstration projects
23 associated with that. We are acquiring quite a bit of
24 additional resources which I'm going to cover on the
25 following page.

1 So maybe as a recap, in terms of our milestone,
2 early in 2018 our objective really is to demonstrate our
3 ability to acquire. And that also means establishing a
4 pipeline for obtaining these resources very locally and
5 deploying that mix of resources. And that's a challenge
6 sometimes, because when you're really concentrating on a
7 local area, you'll have limited customers and a lot of
8 developers. And I'm going to talk a little bit about what
9 we've done in order to address that issue. And then
10 obviously to measure their performance capabilities, which
11 again in some cases is very straightforward and in other
12 cases it's not.

13 So we're following this approach of design,
14 acquire, deploy and measure. They are actually occurring
15 all at the same time. They're feeding into each other and
16 engaging a lot of stakeholders along the way.

17 So in terms of progress, what you see here on
18 this slide is a lot of information about how much we
19 actually have acquired. And when I say acquired, that
20 means it's also deployed in some cases or under contract.
21 So in terms of the amount that's actually deployed it's
22 about 93 megawatts. A lot of it is EE.

23 And we've got also in the DG area, not something
24 that SCE actually contracted for, but another utility had
25 signed a contract for a CHP unit that is connected into the

1 area and maybe to recap, the area is down in the Southern
2 Orange County area: two substations, Johanna and Santiago.
3 A customer set of about 250,000 customers. So it's a large
4 area, but obviously small within our territory. So what we
5 have is about 93-94 megawatts of deployed preferred
6 resources.

7 The DSM programs are the key contributors to
8 these megawatts. And so the real advantage of having our
9 DSM programs is we're able to actually get the resources
10 out very timely. When you look out to the megawatts
11 expected, in 2017 and 2020, those tend to be the contracted
12 resources. As you know, we have -- actually they all are
13 all contracted resources -- what we have, we go out for a
14 solicitation, and then we have to go in for contract
15 approval. So there's some timing that takes place there
16 and some uncertainty associated with that. But right now,
17 I can say that by the end of 2017, we expect 155 megawatts
18 online. So that's very good.

19 By the end of 2020, we're expecting 181
20 megawatts. And I also want to say that we have a PRP RFO
21 2, where we have sought an additional 100 megawatts of
22 demand-response, energy storage and DG and hybrids, which
23 are a combination of energy storage and solar. So we
24 expect to be signing those contracts very soon. We're in
25 negotiation phase right now. And we anticipate having

1 another -- at least 100 megawatts of resources that would
2 be again coming online by the end of 2020.

3 So this provides us with quite a bit of
4 information. By the end of 2017, we expect to have
5 sufficient information, relative to how well are these
6 preferred resources performing.

7 Also that we have some challenges there. When it
8 comes down to energy efficiency, I'm going to talk about
9 that in a little bit on the next slide, that is one of the
10 areas that's real challenging.

11 The other part to this is that in order to really
12 make that good determination we need to have the
13 infrastructure set up, so that we can actually get some run
14 time on these preferred resources. With a bulk, a large
15 bulk, not coming on until -- actually if we look here,
16 we've got POS, which we're going to be measuring. We're
17 going to have more energy efficiency, which is a
18 challenging area to measure and then some more DG coming
19 online.

20 In energy storage, we're going to look to see how
21 well these preferred resources perform, but we need to
22 design the infrastructure. And so some of the delays in
23 getting the LCR contracts online has caused some delays in
24 some of our measurement.

25 So now I would like to talk a little bit about

1 some insights and opportunities. When we look at the PRP
2 region, what we have here is -- this is the demand in the
3 region. You can see it's driven by non-residential and it
4 peaks somewhat in the middle of the day. We've been
5 acquiring resources focused on the attributes that serve
6 this need here in the middle of the day. We have then
7 since focused some of our more recent RFOs, PRP RFO 2, and
8 actually included some additional attributes that are
9 seeking resources that fill the later in the day needs, so
10 that we can address some of the circuit needs.

11 So when we go out for the RFO to focus on the
12 attributes versus the resource type has been very helpful.
13 The developers then could come in and they could provide
14 options for what might fill those particular attributes.

15 Here's an example of the circuits and the hours.
16 And you can see that some of the circuits have different
17 needs, different time of day needs.

18 As we go through this process, we're also
19 learning quite a bit. Our distribution planning is getting
20 more and more refined, so that what this was defined in the
21 2014 timeframe. Now when we look into the 2015 timeframe
22 into the beginning of 2016, some of these circuit needs
23 have changed. And so what is anticipated as certain growth
24 in some areas has not come to fruition. And other areas
25 have also come up as growing.

1 So it's a very dynamic situation, dependent upon
2 the environment, the economic environment, customer needs,
3 customer drivers. And so when we're really focusing in,
4 down at the distribution level, the dynamics require us to
5 really refine how we look at forecasting, as you all know.

6 Urban versus solar, when we look at the
7 particular environment that we're in, it's a suburban area.
8 We've got a lot of building owners and tenants. Some of
9 those building owners are not interested in solar
10 development. They are actually -- the penetration level at
11 this particular area is about 3 percent; it's under 5
12 percent of solar.

13 Now we expect that through natural adoption that
14 solar amount is going to increase at the residential
15 customer and slowly on the commercial side. But you saw
16 the commercial is driving the peak. And we're not seeing
17 that adoption. And there's a lot of different reasons for
18 why building owners don't want to adopt solar.

19 And so what we did is we worked with Clean
20 Coalition to identify some of the potential barriers. And
21 put together this guide to have some dialogue with some of
22 those building owners as to why they might want to
23 consider. And some of the mitigating activities they can
24 take if they've got concerns about deploying solar on their
25 site.

1 Regarding the customer, as I said we've got a
2 finite set of customers, 250,000 customers, and a lot of
3 developers ascending in the area. And so any time we get
4 into this local procurement we have a lot of customer
5 confusion. We've got our programs, our customer programs.
6 We've got developers who are either saying they do have
7 contracts or they don't have contracts, or they're saying
8 they have contracts and they don't have contracts.

9 And so what we did was we worked actually with
10 the developers, who -- these are our LCR contractors,
11 contracts that we've signed. You can see that we've
12 actually put our logo, the little statement on front, about
13 how they can go greener. And here are the developers who
14 we've got contracts with. And so it's a way of really
15 partnering and trying to -- for us to be successful in
16 these LCR contracts by showing that these really are the
17 developers we are working with.

18 Demographics, that owner-tenant issue the I
19 discuss. So some of the things that we've tested out, and
20 it has not taken off as far as we've wanted to, but
21 something called owner direct incentives. In the past,
22 owners of buildings would have to work through their tenant
23 in order to get incentives for energy efficiency. We have
24 now a process where a building owner can directly go and
25 apply for that incentive and not have to work through the

1 tenant.

2 So this is something that we tested out last
3 year. It is a good process. We now have to do more
4 advertising so that we can get more participation. And
5 this will help with, again, increasing that energy
6 efficiency goal by having access to the owners who actually
7 want access to the incentives.

8 The other items that we've done, is we've
9 actually added a locational incentive that was authorized
10 back in end of 2014, so we've been using that for 2015 and
11 2016. It's a \$50 per KW kicker for all custom programs.
12 And we don't have a threshold.

13 The last thing that we've done in terms of
14 enhancing customer participation is really look at can we
15 do something with LED tubes? And we've paired up with some
16 developers on a tube retrofit and got that approved to
17 broaden out the extension of that offering to many more
18 customers. It's a lower cost way of changing out light
19 bulbs with LEDs as opposed to CFLs. Typically you have to
20 do more. And we're also working on troughers also.

21 The other area that we're doing is really looking
22 at our resources and our readiness of our grid. And maybe
23 I'll speak a little bit about energy efficiency. We took a
24 deep dive into a set of energy efficiency customers who --
25 they implemented measures. About 800 implemented measures

1 when we try to see how much saving we can get and cull it
2 down to a group that would give us some meaningful measures
3 at their meter level; it came down to about 60 customers.
4 And with those 60 customers we drilled in a little further
5 and worked with FirstFuel to develop this baselining
6 approach with actually baseline -- that's the green line
7 here -- they baseline what their energy use is, was, and
8 then going forward, they project out what it would have
9 been.

10 And then this black line here signifies the
11 installation of the energy efficiency measure and what we
12 were able to see at the customer's meter level, without
13 billing modeling, is this energy efficiency savings. The
14 challenge is that when we actually ran this across those 60
15 customers, now albeit it's a small sub set, we saw that for
16 the savings of energy efficiency at the customer meter,
17 about 30 percent you could actually see a savings.

18 So when we think about distribution planning and
19 relying on energy efficiency as a resource that we want to
20 use as to potentially defer some sort of system upgrade,
21 circuit upgrade, we really need to have something that will
22 manifest itself like this.

23 Now all energy efficiency is good and we're
24 seeing that overall trend decrease in use, but when we're
25 looking at specific deferral, we're really honing in to see

1 what customer set, what building type and what energy
2 efficiency measure gives us the combination that can
3 ultimately give us this kind of a saving on a regular
4 bases. And if those customers, building types are paired
5 on a circuit that is in need of some upgrade, can we then
6 target those particular customers?

7 The other area that we're looking at is behind
8 the meter resources. The bulk of the solar is unmetered in
9 this particular area. It's at customer sites and it's not
10 something that the utility can see. So what we've done is
11 we've actually worked with Clean Power Research to design a
12 methodology of predicting what the energy production was.
13 And we correlate that to the actual production for the few
14 metered systems that we have.

15 And we've got good correlation, not great
16 correlation. It's about 8 percent of error. But if we are
17 at least crediting a certain amount of this, even if we
18 discount it by that level of uncertainty, we are able to
19 provide some credit, higher credit than is previously
20 assigned for that solar production.

21 So some of the next steps, we are completing our
22 RFO 2 and are going to be seeking contract approval for
23 those contracts. We are continuing our acquisition through
24 our DSM programs and then again continuing to build up that
25 measurement process. Thank you.

1 MS. RAITT: Thanks. So next we'll move on to
2 Updates on Transmission System Additions. And this is Neil
3 Millar, from the California Independent System Operator.

4 MR. MILLAR: Good morning. And thank you for the
5 opportunity to speak today. I will provide a bit of an
6 overview of the reliability of the issue and reliability of
7 the area and touch on some of the issues involved. Some of
8 the other speakers will be touching on some of these
9 details with a bit more precision, but I'll be providing
10 more of the overview.

11 Just to set the stage, the reliability in the
12 L.A. Basin and San Diego areas have been impacted by the
13 initial early retirement of the SONGS Generating Station,
14 as well as the anticipated retirement of the once-through
15 cooling resources in the area and more recently gas supply
16 concerns.

17 On this map, I've just provided a bit of an
18 overview of the area, of the transmission system we're
19 dealing with, and the location of the various generation.
20 And primarily we've been dealing with a basket of both
21 voltage stability issues and thermal transmission line loss
22 issues. And these different issues tend to trade places
23 back and forth as to which is the dominant issue as various
24 solutions come online.

25 But we do need to focus as well that even with

1 the procurement that's been authorized we are looking at
2 reduction by more than 50 percent of the gas fleet in the
3 area as well as accommodating the loss of the San Onofre
4 Nuclear Generating Station.

5 To accommodate the loss of the generating station
6 in the first place, we were looking at a basket of
7 resources that were tied as well to the mitigation plans
8 that were moving forward to address once-through cooling
9 generation retirements. So it really was a broad solution,
10 involving many different aspects. The resource procurement
11 that you've already heard about was a large part of it.

12 There are also a number of transmission projects
13 moving forward. In particular, a significant number of
14 synchronous condenser projects focusing on addressing
15 voltage stability issues as well as a group of other
16 transmission projects that provided both voltage support as
17 well as addressing some of the thermal problems in the
18 area.

19 The three transmission projects that I'll speak
20 to in particular are the Imperial Valley Phase Shifting
21 Transformer Project, the Mesa Loop-in Project and the
22 Sycamore-Panasquitos Transmission Line. Those projects,
23 working together, were allowing us to address a number of
24 issues in the area. So it's not as easy as tying any one
25 issue to one solution. There's a large amount of interplay

1 between the reactive support devices, the resource
2 procurement and the transmission projects as they come
3 online.

4 This map just provides an indication of where
5 those various projects are located. The Mesa Loop-in
6 Project up more towards the upper left in yellow. The
7 Synchronous Condenser Project scattered throughout and of
8 course the Sycamore-Panasquitos line being the yellow line
9 towards the bottom of the map.

10 Overall, the mitigations that were put in place
11 or identified and were moving forward have been proceeding
12 well, but there are a few areas where potential concerns
13 are now being encountered and are emerging. We already
14 heard about the potential delay of the Carlsbad Energy
15 Center, with the potential in-service date. If it delays
16 into Q2 2018, we believe that that's likely generating now
17 the need to extend the Encina compliance, OTC compliance
18 date, beyond its current target of December 31st, 2017.
19 That will be talked about in more detail by the second
20 panel.

21 The other two issues I wanted to touch on are the
22 Mesa Loop-in Project that Southern California Edison will
23 speak to in more detail here today. It is under
24 environmental review proceedings with the CPUC. If the in-
25 service date is delayed beyond Q2 of 2021, we think that

1 it's likely that either Redondo Beach or the Alamitos
2 Generation OTC compliance dates would need to be extended.
3 The Redondo Beach generation is more effective at
4 mitigating the overloads that we would be dealing with.
5 There are challenges there. There are other issues that I
6 believe Dana Cabbell will speak on later, around the
7 Alamitos generation. So there will need to be a
8 conversation about which generation would actually be
9 required should that delay take place.

10 The last project I wanted to mention was the
11 Sycamore-Panasquitos 230 kV transmission line. This is
12 also currently under review by the CPUC. It currently has
13 a March 20, 2018 in-service date. If it is delayed beyond
14 that point, than it may increase the reliability need
15 beyond what Carlsbad could provide in the San Diego area.
16 So that's another one of our major concerns.

17 So our next steps are that we are refining our
18 analysis as part of our 2016-17 transmission planning
19 process. We will be updating the near-term, mid-term and
20 long-term local capacity requirements for the area. The
21 near-term and mid-term studies are done primarily to inform
22 state agencies with the long-term being part of our overall
23 long-term transmission planning process.

24 Now we will be looking and are looking at
25 sensitivity assessments, considering the scenario where the

1 Mesa Loop-In Project is delayed, given the narrow margin
2 there. The updated analysis will be available by the end
3 of 2016 and included in the draft 2016-17 Transmission
4 Plan, that we post each year by the end of January.

5 One last issue I should touch on is that we're
6 also monitoring the progress with the South Orange County
7 Reliability Enhancement Project, inside San Diego. While
8 the project is designed to address the more localized
9 reliability issue and the alternative applied for, approved
10 by the ISO, and applied for by San Diego Gas and Electric
11 would not normally be part of this discussion. Some of the
12 alternatives being put forth could impact the reliability
13 of the overall area by impacting the transfer capabilities
14 between the L.A. Basin and San Diego, so we're watching
15 that closely as well.

16 So that's my update for now and we'll look
17 forward to the questions that Dana and John Jontry can
18 answer. Thank you.

19 MS. RAITT: Thank you, Neil. So next is John
20 Jontry, from San Diego Gas and Electric.

21 MR. JONTRY: Good afternoon. My name is John
22 Jontry. I'm the Manager of Grid Planning for SDG&E. And
23 my group has the responsibility for performing the Ten-year
24 NERC the reliability studies for the SDG&E bulk power and
25 sub-transmission system. So today I will discuss the

1 status of some of the bulk power projects that we're
2 currently working on, both planned in-service and then some
3 that are being proposed.

4 Just a quick overview, this is a map of the SDG&E
5 transmission system. The 500 kV, as you know, comes from
6 the east, from Imperial Valley and then we're connected to
7 SCE to the north at SONGS. This map indicates the number
8 of the projects I'll be talking about: Orange County to the
9 north, Artesia and Sycamore PQ and then some of the voltage
10 support projects.

11 Also I've broken the projects into basically
12 three types: voltage support projects, new transmission
13 lines and then substation projects, both new substations
14 and then major upgrades to existing substations.

15 Neil discussed this earlier. We have a rather
16 large number of voltage support projects planned for both
17 our area and for Edison. These projects are basically
18 designed to provide voltage stability to the system,
19 prevent voltage collapse during extreme system
20 contingencies, and sort of ride herd on the voltage during
21 normal system operations.

22 Within our territory, we have five locations
23 where we're adding voltage support. Four of those
24 locations have synchronous condensers and one is a Static
25 Bar Compensator or an SBC.

1 The first synchronous condenser installation was
2 at Talega. It's in-service right now, has been in-service
3 since August of last year. Upcoming projects are a one
4 synchronous condenser at SONGS, two each at San Luis Rey
5 and Miguel and finally a 300 MVAR SBC at Suncrest, which is
6 being done by an independent developer NextEra
7 Transmission.

8 The in-service dates for the synchronous
9 condenser projects are all sometime in 2017, hopefully.
10 The Suncrest Static VAR Compensator initially had an in-
11 service date of 2017, but I think it's somewhat
12 indeterminate right now. I believe it's currently under
13 review by the CPUC.

14 For new transmission lines, we have three 230 kV
15 lines, bulk power lines, currently under development. Neil
16 will discuss the Sycamore PQ line. It's currently in the
17 CPCN proceeding. We're hoping to get a proposed decision
18 and approval by the fourth quarter of this year. And the
19 current expected in-service date would be early 2018.

20 Two other lines under development are the Mission
21 to Penasquitos line and then the second Miguel to Bay
22 Boulevard 230 kV line. Both of those are under
23 development. The Mission to Penasquitos line, the final
24 configuration and route will determine or will be
25 determined at least in part by what comes out of the

1 Sycamore PQ proceeding. So we don't have a final route or
2 design for that. The Miguel to Bay Boulevard #2 is also
3 under development. So right now, we don't have a good in-
4 service date for either of those, but it'll probably be in
5 the 2019 to 2020 timeframe.

6 Finally, for the bulk power substations, we have
7 several to talk about. The Bay Boulevard 230 substation,
8 which went into service earlier this year, is a new 230 to
9 69 kV substation and was basically put in place to replace
10 the generation at South Bay when that generation retired at
11 the end of 2009.

12 The Imperial Valley Phase Shifter, Neil also
13 mentioned that one, we finished major equipment procurement
14 and testing. The phase shifters are soon to be on their
15 way to San Diego. And we anticipate a in-service date of
16 May 2017.

17 South Orange County Enhancement Project, or
18 SOCRE, it's currently under review by the PUC, under a CPCM
19 proceeding. We're hoping to have a proposed decision
20 sometime at the end of this year with approval first
21 quarter of next year. It includes both a substation
22 upgrade to San Juan Capistrano Substation from 138 to 230
23 and also includes eight miles of double circuit 230 kV from
24 Talega substation to San Juan Capistrano. I think right
25 now our tentative in-service date is somewhere in the

1 2020/2021 timeframe.

2 One thing I'll mention, going back to the map,
3 one, one that doesn't appear on the list, but the Artesian
4 230 kV Substation is also a bulk power substation we're
5 adding at the existing Artesian Substation. It will
6 provide a new bulk power source to the Poway Load Pocket,
7 which is this area here in sort of North suburban San
8 Diego. That one's -- I believe we just submitted the PEA
9 and I think our tentative in-service date is 2019 or 2020.

10 Finally, I'll just touch on a couple of projects
11 that we'll be proposing in the ISO reliability window for
12 this cycle. First one is the Southwest Power Link HVDC
13 Conversion Project. We've also submitted it to the CAISO
14 and West Connect Interregional Planning processes earlier
15 this year. It is a proposal that would convert the
16 Southwest Power Link from North Gila to Imperial Valley
17 Substation into Miguel to a high voltage DC line from its
18 current AC configuration for the purposes of increasing the
19 throughput capability of the line and also improving system
20 control by making it a flow control device instead of a
21 free-flowing AC line.

22 And the second project is a new 230/69 kV
23 substation at the existing Pala Substation. This is in
24 sort of Northwest San Diego County. And the purpose is to
25 provide a new bulk power source to the -- so the northwest

1 69 kV system that's feeding all of the area up around Camp
2 Pendleton, Pala and so forth.

3 That's all I have, so I welcome any questions.
4 Thanks.

5 MS. RAITT: Thanks, John. So next is Dana
6 Cabbell, from Southern California Edison.

7 MS. CABBELL: Thank you very much. Good
8 afternoon. Dana Cabbell, Manager of Transmission
9 Interconnection Planning at Southern California Edison.

10 And I'm going to go over the two projects that
11 Neil highlighted as the projects that were identified and
12 proposed for the -- to meet the SONGS retirement and OTC
13 retirement. And also I have a slide on some status of some
14 other major transmission projects in our area.

15 So the first is our Mesa Substation project.
16 It's a 500 kV project. This map will just to give you some
17 orientation. The red is representing 500 kV lines and
18 substations and the blue represents the 230 kV substations
19 and lines within the Western L.A. Basin.

20 The blue, the 230 substations on this map, about
21 half our load is served through those substations. And
22 when we peak, the power comes from the 500 kV system,
23 through the 230 system to serve that load. And so as the
24 OTC plants and with SONGS out, obviously we are starting to
25 see more flows from the 500 system down to the 230, more

1 imports that are coming in, into the Basin.

2 And so Mesa Substation was approved and to go
3 forward to basically increase the transfer capability from
4 the 500 system down into the Basin; currently Mesa is a 230
5 to 66 kV substation. So we would be adding a 500 kV
6 portion and looping in the Vincent to Mira Loma 500 kV
7 line, that's part of the Tri-Tip Project.

8 So the status right now is we did file back in
9 March, in 2015. We filed for a PTC. A draft EIR came out
10 and was issued. And we are hoping for a final decision in
11 December of this year, so that we can meet the 2020
12 operating date.

13 If the substation, or the decision is delayed,
14 causing the substation delay, project delay, we were
15 looking at potentially needing to extend some of the OTC
16 contracts. Here, I'm seeing Redondo. I know Alamitos was
17 also mention, which is workable. But with Alamitos we do
18 need to do some additional studies, because there could be
19 a short-circuit duty issue at some of our 230 stations in
20 the area. So that would require some additional analysis.

21 For the Reactive Support Project, the Santiago
22 Substation, which is in the South Orange County area, we
23 have a synchronous condenser project, 225 MVARs; it kind of
24 goes hand-in-hand with the one that San Diego's installing
25 at SONGS Switch Yard. Right now, we have selected a

1 vendor. It is a turnkey project. So we expect the
2 construction to -- the substation construction is near
3 completion and we should be commencing the project, phase
4 two of the project, in 2017 and have it online by the end
5 of next year. So that seems to be right on track.

6 Some of the other major projects that we have
7 going on, West of Devers Upgrade, which was just approved.
8 We just were granted the CPCN. We are working to get the
9 ROD from the BLM and we will be construction with an upper
10 date of 2021. As you recall this project is to help
11 integrate and deliver renewables from the Riverside East
12 portion of the system.

13 The Lugo-Mojave, Eldorado-Lugo 500 kV Series Cap
14 Upgrade. These were two policy driven projects that the
15 ISO approved. We're doing some detailed engineering.
16 We're going to submit the PEA. It's under development at
17 this point and time. And then we will start construction
18 third quarter of 2017.

19 Alberhill Substation, that's a reliability
20 project to help serve growing load down in the Temecula-
21 Menifee area of our system. And we filed an application in
22 2009 and we're hoping to have an approval in quarter four
23 of 2017, with construction in 2018.

24 And then Santa Barbara County Reliability
25 Project, I know it's not a transmission, it's a sub-

1 transmission project, but it is a pretty significant
2 project for the Santa Barbara area. And we did receive the
3 PTC and now we're waiting on the Coastal Commission for
4 their permitting for a small portion of the project. And
5 we should start construction by 2017, with operation in
6 2018.

7 And finally, with Tehachapi Renewable
8 Transmission Project, we're at kind of the end of the road
9 with this project. The last piece is the undergrounding of
10 the 500 kV portion of the Vincent-Mira Loma line. So the
11 three miles of the 500 kV underground is actually going
12 through commissioning this week. And we're hoping to have
13 it fully operational by the end of this year.

14 And that's it. Thank you very much.

15 MS. RAITT: Great, thanks.

16 Moving on to Generation Permitting, we have Matt
17 Layton, from the Energy Commission.

18 MR. LAYTON: Good afternoon. My name is Matthew
19 Layton. I'm with the California Energy Commission. I'm an
20 Engineering Office Manager in the Siting Division. The
21 Siting Division provides the first review of thermal power
22 plants 50 megawatts and greater. So I'm going to run down
23 the power plants that are in front of us right now in the
24 Energy Commission, both at the staff level and at the
25 Commission level.

1 Most of the power plants you're probably familiar
2 with. We did include a couple of power plants in Ventura
3 that we'll get to. We haven't really talked much about
4 Ventura County, but we put them in there because they're
5 close enough, I think.

6 The first power plant is Pio Pico. It was
7 approved back in 2012. The units are undergoing
8 commissioning. We expect commercial online either
9 September 1 or September 8th, I believe. It does have a
10 Power Purchase Agreement. It's a pretty simple project
11 located down near the border near the Otay Mesa plant.

12 The next one in San Diego County, is the Encina
13 Power Plant Replacement, called the Carlsbad Energy Center.
14 They have a license right now and they are doing some final
15 tank demolition and site prep. I think construction has
16 been delayed until October of 2016.

17 The El Segundo Energy Center, replacing Units 1
18 and 2, the project was approved back in 2013 -- oh excuse
19 me -- approved quite some time ago. It is online and
20 operating as of 2013.

21 The second part of that replacement at El
22 Segundo, Units 3 and 4, which are the two units in the
23 foreground on that photograph, the project was nearing
24 approval. The owner of the project requested that the
25 petition be withdrawn and the proceeding has since been

1 terminated. I think that's about two or three weeks old.

2 AES Alamitos, the project is in-house right now.
3 There's about 1,900 Megawatts at AES in the Alamitos
4 Generating Station. The proposed project is about 1,000
5 megawatts, 640 has a Power Purchase Agreement, 400
6 megawatts would be under simple cycles that may get built,
7 but the Energy Commission is looking to permit the entire
8 1,000 megawatts. We expect a decision in 2016 that may --
9 I think the most recent schedule that came out last week,
10 it may be as late as January of 2017.

11 AES Huntington Beach, similar, about 640
12 megawatts of combined cycle. That particular portion of
13 the new facility does have a Power Purchase Agreement. The
14 owner is also looking to install 200 megawatts of simple
15 cycle plants, units. Again, the decision was expected in
16 December of this year. It may spill over into 2017.

17 AES Redondo Beach, the project is in suspension.
18 The city and the owner are in negotiations what to do with
19 the project. The facility that was being proposed as a
20 replacement project for the existing generating station
21 would have been a combined cycle, it does not have a Power
22 Purchase Agreement.

23 A couple of projects inland, not once-through
24 cooled, these are replacement -- this is a replacement
25 project here. There is an existing LM5000, small gas

1 turbine. The owner is proposing to replace that combustion
2 turbine with a 100 megawatt LMS100. I think some batteries
3 are also being proposed onsite. They are not thermal
4 generation, but it is part of the project since its being
5 located inside a building on the site. So we are looking
6 to review that and it's somewhat delayed in the review.

7 This is a small power plant exemption, which is
8 50 megawatts and greater or 100 megawatts or less. This
9 one comes in at about 70 megawatts net for the site. I do
10 not believe it has a Power Purchase Agreement. And we do
11 not have a schedule giving some of the new information
12 coming in about the batteries.

13 Another project that is going to file with us,
14 with the Energy Commission this October, is in Stanton in
15 Northern Orange County. It has an integrated battery,
16 which would be part of the project review and two LM6000s.

17 Up in Ventura County there's the NRG Puente Power
18 Plant, which is actually a replacement of Units 1 and 2 of
19 the Mandalay Generating Station. It's in review right now.
20 The final decision is expected in April of 2017. Mandalay
21 Unit 3, 130 megawatt peaker will remain onsite. The two
22 existing gas boilers would be dismantled as part of the new
23 project.

24 Another project that just came in, it does not
25 have a Power Purchase Agreement. It's about 20 miles away

1 from the Puente site or the Mandalay site. It's located in
2 the county, near the city of Santa Paula. It would be
3 about 275 megawatts. It would have clutches on each of the
4 combustion turbines and would have batteries onsite. The
5 batteries would not be integrated into the combustion
6 turbine part of the project, but since it would be proposed
7 at the same time, the Energy Commission will be reviewing
8 the batteries.

9 And acronyms -- the only other thing, Ormond
10 Beach is not on the list, because we do not have an
11 application in front of us. That's 1,500 megawatts in
12 Ventura County, that's part of the OTC shut-downs. It's
13 likely to shut down. Thank you.

14 CHAIRMAN WEISENMILLER: Great, so a few
15 questions.

16 First, I would like to really congratulate SDG&E
17 for their progress on renewables. Obviously when the
18 Renewable RPS Standard passed, I think they were roughly at
19 zero. And now they have surpassed their brethren. So
20 again, certainly great moves and encourage you to continue
21 doing more. Hopefully you can pull along some of the other
22 utilities in California, particularly some of our POU
23 friends to high levels like that, so great.

24 I think with Edison, I guess the thing I found
25 most interesting in Caroline's presentation was basically

1 what are you trying to do in the area of basically the
2 distributed resource plan demonstration projects? It's
3 sort of a new component. Certainly timely, to try to build
4 that in to what you're doing there is to really focus on
5 the DG part of stuff.

6 MS. MCANDREWS: So as you know there's I guess an
7 open proceeding on that, so I'll have to be careful in
8 terms of what I say.

9 CHAIRMAN WEISENMILLER: Right.

10 MS. MCANDREWS: PRP RFO 2 identified some
11 potential circuits that could be used for deferral -- are
12 in need of upgrade -- and so some of those attributes that
13 we listed in the RFO were for resources, if we can get
14 resources, at those particular circuits. And so we had a
15 very successful RFO and we anticipate getting some
16 resources that can contribute to that demonstration
17 project.

18 Also, within the DRP is an area of testing high
19 penetration of DERs. And that is actually being done at
20 Johanna Jr, which is a bravo level substation and also
21 Camden substation, another bravo level substation. And
22 again, through our acquisition process, we are acquiring
23 resources in that area.

24 So we're also now with LCR developers going out,
25 we are having discussions with some of the LCR developers

1 to try to encourage them and help them with some of our
2 customers, like for example with that flyer, to encourage
3 them to go into these particular areas because obviously
4 the more resources we can get in that area, the less we'll
5 have to go out and acquire additional resources. So we
6 really want to leverage our activities and not over-procure
7 if we don't need to.

8 CHAIRMAN WEISENMILLER: Good. Yeah. No, I'll
9 certainly encourage SDG&E to think about ways they can also
10 move forward on preferred resources that leverages some of
11 the potential DRP processes.

12 MS. HELM: Hi. I guess I would just mirror some
13 of the things that Caroline mentioned. I know I think one
14 of the first things that we'll be looking at is procurement
15 for the Distributed Resource Plan pilots. I know, in the
16 Integrated Energy Distributed Resource proceeding, that
17 Commissioner Florio has been overseeing as well, we're
18 looking at what kind -- how can we test out some
19 competitive solicitation process for some of these early
20 pilots for the DRP? So I think that'll be the first step.

21 CHAIRMAN WEISENMILLER: Great. Actually on sort
22 of a less happy topic, when Governor Brown announced his
23 Clean Jobs Plan, as part of his election, he had a goal
24 which was roughly to cut the PUC's permitting time for
25 transmission in half. There's not been much progress on

1 that, I guess listening from today's conversation. I know
2 President Picker has launched GO-Biz to try to figure out
3 some degree of process reform.

4 But God Bless, how do we get some -- I mean how
5 long has SOCRE been around? When did it start?

6 MR. JONTRY: Let's see. It was approved by the
7 ISO in --

8 MR. MILLAR: The '10-'11 Plan.

9 MR. JONTRY: Yeah.

10 CHAIRMAN WEISENMILLER: Yeah, I thought it was
11 always baked into our SONGS planning that was going to be
12 done and now it's --

13 MR. JONTRY: So far (indiscernible) yes, it was
14 in the 2010-'11 Transmission Plan.

15 MR. MILLAR: Yeah, right.

16 CHAIRMAN WEISENMILLER: Yeah.

17 MR. JONTRY: Yeah. It's been -- I think the CPUC
18 application name was complete in 2014, I think. I think I
19 have that in my presentation here. I took it out, but I
20 believe the application was complete in 2013/2014 or
21 something like that. So it's been pending for at least
22 that long, yes.

23 CHAIRMAN WEISENMILLER: Yeah, wow.

24 MR. DOUGHTY: Chair? I had an observation on
25 that. These projects we're talking about now, we kind of

1 consider them legacy projects. They've been around awhile.

2 Recently, we've constituted a new working
3 framework, with the permitting team at the PUC where the
4 ISO and the CEQA team come together more frequently, share
5 projects in their early form, so that surprises and shall
6 we call that information that doesn't flow very well, gets
7 handled early. I think we're going to see improvements
8 going forward.

9 Will it come down into the Governor's objective
10 timeframe? I don't know, but we are seeing improvements in
11 the engagement between the ISO and the CEQA team. And Neil
12 and his team deserve a lot of credit for leading that. So
13 I'll leave it with that.

14 CHAIRMAN WEISENMILLER: Yeah. I would just point
15 out we have two-and-a-half years left, so we need to make
16 lots of progress on process reform in this area fast. So
17 that, I mean if you look through the Governor's Clean Jobs
18 Plan we've pretty much hit every milestone. But I mean
19 this is like a zero if not negative, so I think certainly
20 I'll talk to President Picker about what we can do to try
21 to help move things along more.

22 MR. DOUGHTY: I had another question on a
23 different topic. We heard here, from several of our
24 speakers, about some of these projects that are in a bit of
25 jeopardy: Carlsbad, Mesa Loop and Sycamore Penasquitos

1 being three.

2 This is the first time, I believe, in these
3 hearings that we've actually talked about an OTC deferral.
4 And Jonathan, a lot of this will land in the lap of the
5 Water Board.

6 I guess I asked the question, are we collectively
7 in a position now to establish a plan to manage those
8 deferrals? And are there -- I have only to do -- maybe
9 some speakers that will come later in the day will speak to
10 this, but are we in a position to do what we need to do now
11 to take steps to do that for the first time?

12 Jonathan, you may have some observations to
13 share?

14 MR. BISHOP: Well, as time has gone on we've gone
15 from this is a small possibility to a greater possibility
16 to reading ahead, it looks like an imminent possibility.

17 The advice that I have given many times in the
18 past, and will continue to give, is the policy was designed
19 with the idea that the SACCWIS could make these
20 recommendations to the Water Board for greater liability
21 delays and the need for those. And that that process
22 should be instituted by the SACCWIS as soon as possible, so
23 that there's enough time.

24 If it's short enough, and you look at the --
25 Encina has a potential of being online in March, that is a

1 potentially a 90-day delay, which doesn't require a Board
2 action to facilitate, which could be done in short term.
3 But March is at the end of the 90 days and if there's any
4 more slippage, we might be in a bad place. If we've not
5 started that process, which will take potentially a year to
6 go through by the time you convene the SACCWIS or the
7 interagency working group to make a recommendation to
8 SACCWIS, the SACCWIS to consider it and make a
9 recommendation to the Board, the Board to consider it's a
10 fairly lengthy process to go through.

11 I think that the Board took this consideration to
12 heart when they adopted the policies, so that they're ready
13 to act on it. But I would caution -- I was going to do it
14 later, but I'll do it now and again later, which is that
15 the boundaries around any extension need to be well
16 defined. The Board will have a lot of trouble adopting an
17 extension for an unknown period of time or without a known
18 solution to that problem. And so those two pieces have to
19 be in place as we move forward.

20 CHAIRMAN WEISENMILLER: So, I think certainly
21 we're looking for recommendations from parties going
22 forward on how to tee this up. And I would assume one of
23 the IEPR recommendations in this area would be to start the
24 process, so that we're prepared.

25 MR. JASKE: Chair Weisenmiller, can I ask a

1 couple of questions?

2 CHAIRMAN WEISENMILLER: Sure.

3 MR. JASKE: This has to do with the issue of a
4 delay in Mesa Loop-in. Both Neil and Dana have identified
5 that if Mesa is delayed that could itself lead to a second
6 OTC deferral with Redondo Beach or Alamitos being
7 candidates. I guess I'm curious first to know, since both
8 of those are relatively large facilities, are we talking
9 about the entirety of their capacity or some small fraction
10 of their capacity if Mesa Loop-in was delayed?

11 MS. CABELL: You can start and I'll --

12 MR. MILLAR: I'll take the first cut. In looking
13 at these it's not the same number in both cases. The
14 Redondo plant is much better situated to be more affective.
15 So we'd be looking for a material amount to generation from
16 both, but much more if it's Alamitos instead of Redondo. I
17 don't know if Dana has more precise numbers, but I was
18 hesitant to provide a tougher number now when we're
19 currently updating our analysis on that.

20 MS. CABELL: Right, yes. Because Redondo is a
21 1,300 megawatt plant and that's why we focused on that one,
22 because it is in the right area to make the relief that we
23 need for LCR in that area. For Alamitos, we haven't really
24 studied that, because as I mentioned the amount of
25 generation or the number of units on will depend on the

1 system short-circuit duty or concerns that there could be
2 if we put too many units on in that area in conjunction
3 with the repower of Alamitos in Huntington Beach. So we
4 not pursued any type of studies along those lines.

5 MR. JASKE: Okay. As sort of a follow-up or
6 parallel question -- the information submitted by AES to
7 the Water Board earlier this year as part of the annual
8 compliance or implementation plan, maybe that's the right
9 way to say it, says that Redondo 7, I believe, is going to
10 retire in 2019 to provide the air credits, so that
11 Huntington Beach can actually go forward. So that's
12 pushing 500 megawatts right there.

13 And of course there's the overarching issue of
14 the fate of Redondo Beach as a generator. And as I
15 understand it, there's only a contractual agreement that's
16 supporting it through May of 2018. So after that, it's --
17 unless of course there is an extension, there's no clear
18 mechanism for the remaining three units to be around.

19 So I guess it seems like if you haven't decided
20 to study Alamitos it would be worth considering tackling
21 that subject.

22 MR. MILLAR: Yes. And we'll be doing our
23 analysis looking at both units, or both plants I should
24 say, but there are trade-offs on both the effectiveness of
25 the different plants as well as the issues that Dana

1 referred to.

2 MS. CABELL: Right. And so once we understand
3 what amount of -- especially at Alamitos -- is where I'm
4 most concerned. Once through the ISO studies we have
5 identified oh, we need this amount of megawatts, these
6 number of units, then we can go ahead and run our short-
7 circuit duty analysis to determine if there's any further
8 impact.

9 MR. JASKE: Okay. Thank you.

10 CHAIRMAN WEISENMILLER: Just a follow up. Oh
11 excuse me, Mike.

12 Just to follow up, so Neil looking at the three
13 projects that are sort of struggling to meet the timelines,
14 what's your relative ranking of importance among those
15 three?

16 MR. MILLAR: I think I'd challenge arguing
17 priority, because putting it bluntly, we need all three.

18 The impact of the Mesa Loop-in is a bit easier to
19 isolate from the Sycamore-Penasquitos interaction with
20 Carlsbad. So the Mesa Loop-In Project, we believe to be
21 relatively straight forward given the physical
22 circumstances of the project. That affects the Alamitos
23 versus Redondo discussion, so clearly to us that's
24 something we think shouldn't be an issue. That we're
25 concerned about the timelines this far out and what looked

1 like a healthy lead time is being eaten up. So in terms of
2 permitting issues that's one for us that looks like we
3 should be able to avoid having to do this, but the path
4 forward right now isn't clear.

5 With the, as we said in the San Diego area, with
6 the Carlsbad-Encina interaction, the Sycamore-Penasquitos
7 Project has the risk of requiring us to go beyond what
8 Carlsbad -- even if Carlsbad came in the Sycamore-
9 Penasquitos Project could cause a requirement to be greater
10 than Carlsbad. And we're not aware of any mechanism right
11 now that would allow Carlsbad and a piece of Encina to
12 stick around. So I would say that's also a serious
13 concern.

14 When we look at the Carlsbad -- the situation
15 with the courts -- that looks like something that there
16 isn't a lot we can do. We need to let that process run its
17 course and the mitigation is unfortunately fairly straight
18 forward, which is to keep Encina around until Carlsbad can
19 move forward.

20 So I think that just talking this out, clearly
21 the transmission projects are the ones where we think are
22 more within our collective ability to do something about
23 and could mitigate some of the other risks.

24 CHAIRMAN WEISENMILLER: How serious is SOCRE's
25 delay?

1 MR. MILLAR: Oh, SOCRE delay is more of an issue
2 to the local reliability issue within the South Orange
3 County. Our concern with that project is that some of the
4 alternatives that are being considered or that have been
5 put forward by others for consideration could actually
6 compromise -- it would be a negative. It could compromise
7 the reliability of the area by tying two systems together
8 at a particularly bad part. In the meantime, the people in
9 the local area are the ones taking the risk while that
10 situation stays as it is.

11 I should probably turn to Mr. Jontry to talk
12 about that.

13 MR. JONTRY: Yeah, well that's basically correct.
14 Yes. Yeah, I mean that project is primarily to serve the
15 South Orange County load pocket. It's about 4 or 500
16 megawatts of load in the southern portion of Orange County.
17 The project as we proposed it really enhances the
18 reliability in that local area.

19 It doesn't really affect the larger San Diego
20 area or interface between SDG&E and Edison, except like as
21 Neil mentioned some of these other alternatives that
22 involve looping in some of the lines that connect CL Path
23 43 from SONGS up to Edison. If some of those get looped
24 into the 138 kV system in Orange County then it can affect
25 the transfer capability between San Diego and Los Angeles.

1 And that can impact the import capability of both areas.
2 So I think that's the larger issue.

3 CHAIRMAN WEISENMILLER: If we have a problem
4 there, how long is the load going to be out in Orange
5 County?

6 MR. JONTRY: Without getting too deep into the
7 weeds, the Orange County is fed from a single 230 kV-138 kV
8 substation. If you had a catastrophic loss of that
9 substation, the load would be -- we wouldn't be able to
10 serve load in Orange County or our portion of it for a long
11 period of time, weeks -- weeks, or months.

12 CHAIRMAN WEISENMILLER: Okay.

13 MR. JASKE: Okay. And a couple of questions for
14 Caroline, so in your presentation I was particularly
15 interested in your comments having to do with energy
16 efficiency. I guess this was on slide seven. And you
17 indicated that the 2017 target of 37 megawatts was going to
18 be very challenging, or at least that's what I heard.
19 Could you clarify whether it's an issue of customer
20 recruitment or an issue of once recruited will they perform
21 as expected?

22 MS. MCANDREWS: So as I indicated, what we've
23 been doing so far is really measuring the effectiveness of
24 seeing Grid level changes at the customer's meter, the AMI
25 meter, using the programs. When we look at the contracts

1 that came in from the LCR contracts, the measurement
2 processes, again it was essentially set up the same way
3 using an ex-ante approach similar to the programs. And so
4 what we intend to do with those contracts that come one is
5 put them into our monitoring system and look at the
6 customer's meter to see if we're seeing Grid level savings.

7 Now energy efficiency from an LCR standpoint is
8 having a load modifying effect, so there is a value to
9 that. Can I quantify it? No. Not easily, because there
10 are a lot of factors that go into it obviously: customer
11 behaviors, economics and just the operations of the
12 facility. When we are looking to use these resources
13 potentially for distribution deferral, we have a different
14 measurement philosophy. We want to see some net savings,
15 so that we can then defer a potential upgrade.

16 And that's where the challenge comes. So are we
17 seeing a system-wide benefit from energy efficiency?
18 Absolutely. Can I see it at a very local level? Not very
19 easily.

20 MR. JASKE: Okay. And maybe this is an
21 overarching question for many of these resource types, but
22 maybe in particular focus on energy efficiency. To what
23 extent does the PRP process, in general, is it correct to
24 think of that as incremental savings over and above what
25 would have happened with Edison's customer programs anyway,

1 or is it sort of a targeting of the level of saving Edison
2 hoped to achieve, focused in that particular electrical
3 geographic area?

4 MS. MCANDREWS: So the genesis of the Preferred
5 Resources Pilot was to address a load growth of about 300
6 megawatts from the customers in that local area. So if you
7 consider a baseline to 0-300 megawatts we are totally --
8 the pilot is agnostic in terms of where those resources
9 come in. So we count on our programs to bring in
10 resources.

11 So our energy efficiency programs, DR programs,
12 anything that's incremental to what the beginning state was
13 in 2013. So through that period, our customer service
14 programs have brought in about 20 megawatts of energy
15 efficiency. That's just through the customer service
16 programs, our customer programs.

17 And so we get them from our programs, we get them
18 from Power Purchase Agreements, we get them from any other
19 type of utility initiative, DOE projects, we don't care.
20 So what we're trying to do is count the number of megawatts
21 from 2013 out to 2021 and get 300 megawatts of deliverable
22 megawatts, which means that if you get 60 percent from
23 solar or 20 percent from solar, then you have to acquire
24 more in order to meet that 300 megawatt need.

25 MR. JASKE: Okay. One last follow up. So if

1 given the size of that area and the residential,
2 commercial, industrial mix of customers that are there,
3 would Edison have expected to have gotten somewhere in the
4 vicinity of 40 megawatts worth of energy efficiency if it
5 had just continued running normal programs or would it have
6 been much less, like 30 or 20?

7 MS. MCANDREWS: Yeah, so the business as usual
8 programs, from energy efficiency, we would have gotten
9 about 6 megawatts per year. We have put emphasis in that
10 area of marketing, customer engagement. And so we've been
11 getting about 16 megawatts a year -- actually, let me take
12 that back. We've been getting about eight to ten megawatts
13 per year. So we've gotten over the last couple of years
14 about 60 megawatts. And what you're seeing now is an
15 additional 4 or so that we've been acquiring.

16 So extra energy has caused the amount of deployed
17 energy efficiency to be greater than the business as usual.

18 MR. JASKE: Okay. Great. Thank you.

19 CHAIRMAN WEISENMILLER: Yeah, actually, one other
20 one. Caroline, you had talked about having difficulties in
21 part of the pilot with consumer acceptance on renewables.
22 Is this proverbial covenant issue with Irvine Company or
23 what?

24 MS. MCANDREWS: So the challenge is with many
25 building owners. They don't see it as their "business".

1 They are concerned about having some infrastructure or
2 power plant on their facilities that they're potentially
3 liable for, have to maintain. There are a lot of various
4 concerns that they have. And that's why we tried to
5 capture what those concerns would be and to have some
6 dialogue with the developer. It's a guide meant for them
7 to have with the developer and asking the developer how
8 they could potentially mitigate those concerns that they
9 have.

10 CHAIRMAN WEISENMILLER: Thanks.

11 MR. TISOPULOS: Can I ask a question?

12 Ms. Cabbell, in one of your slides relative to the 500 kV
13 line you used the phrase "if delayed." So can you clarify
14 for me what are some of the impediments? What are you
15 referring to, the ongoing CEQA analysis right now or are
16 there any other issues associated with the approval of the
17 process?

18 MS. CABELL: You're speaking of the Mesa
19 Project?

20 MR. TISOPULOS: Yes.

21 MS. CABELL: Yes. It's the CPCN proceeding. If
22 that is delayed beyond the end of this year, there's
23 potentially -- or there would be a delay in the project
24 operating date. It might not meet the 2020 date that's
25 needed. So it would result in looking at extending some of

1 the OTC contracts for, as we were talking Redondo and
2 Alamitos.

3 MR. TISOPULOS: But to the best of your knowledge
4 is the analysis proceeding according to plan or are there
5 clouds on the horizon?

6 MS. CABELL: Well, I have to be cautious,
7 because it is an ongoing proceeding. So it is going
8 through its process right now. The draft EIR has been --
9 was issued and now they're working on the final EIR. So
10 we're just hoping that it can go ahead and be issued and a
11 final decision be made by the end of this year.

12 MR. TISOPULOS: One more question, so the
13 Sentinel Project that was successfully built, is it helping
14 the situation or is it too far away to assist the South
15 Orange County, San Diego or perhaps South Coast reliability
16 issues?

17 MS. CABELL: I'm sorry, what --

18 MR. TISOPULOS: The Sentinel Project out in the
19 desert?

20 MS. CABELL: The Sentinel Project?

21 CHAIRMAN WEISENMILLER: You know, when we were
22 doing the SONGS analysis that was -- in terms of I think
23 the ISO had gone through in terms of how much capacity --
24 San Onofre is a specific location. So how much generation
25 could help? And it turned out that one, I think there were

1 a couple of projects that came online, it's just the
2 locations were bad in terms of deliverability. Was that,
3 correct Neil?

4 MR. MILLAR: That's correct. The Sentinel
5 Project doesn't help with the local issues that we're
6 dealing with here. It's too far east.

7 MS. RAITT: All right, so thank you very much to
8 our panelists on the first panel. And I'd like to invite
9 you to go ahead and take a seat in the audience and ask the
10 folks on the second panel to go ahead and take a seat on
11 the front tables.

12 So our second panel is an Update on Contingency
13 Mitigation Analysis and Contingency Measures. And the
14 first presentation is by Mike Jaske and Lana Wong, from the
15 Energy Commission.

16 MS. WONG: Hi. I'm Lana Wong. And I'm going to
17 present the analysis we did using the Local Capacity Annual
18 Assessment Tool. This is our second annual update. It's a
19 screening tool to support contingency mitigation decisions.
20 We published a staff report on the 2016 IEPR website, which
21 describes how we've updated the tool for this cycle.

22 So in today's presentation, I'll be going to over
23 the purpose of the tool, the methods assumptions, the
24 baseline results we produce, sensitivity analysis as well
25 as a couple of scenarios that we produce, and lastly our

1 findings and conclusions.

2 So what is the purpose of the tool and why did we
3 develop it? In part, we wanted to develop annual
4 projections of resources versus local capacity requirements
5 for Southern California. We felt that looking on an annual
6 basis over the ten-year planning horizon would help
7 determine the timing and nature of a short-fall. It would
8 be sort of an early warning signal that if there were any
9 problems, we'd know sooner rather than later. And it would
10 give us more options on resolving any problems that we
11 find. What we've said is that any issues surfaced by the
12 tool would be confirmed by a power flow study, which
13 potentially could lead to recommendations to trigger
14 mitigation measures.

15 And so in the last cycle, the tool largely worked
16 as envisioned. What we found is deficits occurring earlier
17 than studied by the ISO, in part because they don't study
18 every year of the cycle. And we recommended that they run
19 power flow and stability analysis for the year 2021, which
20 they did in the 2015/2016 TPP cycle or that's the
21 Transmission Planning Cycle. And the results of their
22 analysis basically confirmed our findings that the deficits
23 were occurring earlier than 2025.

24 This is just a chart which you've seen in some of
25 the other earlier presentations, which of the areas of

1 focus and were focused on the L.A. Basin and San Diego
2 areas. And those are the areas that we cover in our tool,
3 as well as the subareas West L.A. Basin and San Diego sub
4 areas.

5 So LCAAT, it's essentially a spreadsheet tool
6 built in Excel. It's a low-resolution model. The input
7 assumptions are those taken from the 2014 LTPP and also the
8 2015-2016 TPP cycle. We may have had to do some mapping of
9 data to get it down to the local area and subareas. We've
10 essentially produced a tabulation of resources versus
11 requirements by local area and subarea and then what the
12 resulting surplus or deficit is in each year.

13 And so we've just gone through an update where
14 we've made comprehensive updates to the tool and
15 selectively to some data as needed. And those are maybe in
16 some of the sensitivities if we didn't have updated
17 information, we may have used the same data as in the last
18 cycle.

19 The advantages of this tool is that as a low
20 resolution model it's easy to run. We can run many more
21 cases than you could using the in-depth power flow and
22 stability modeling. But then the disadvantages are that
23 there's a loss of accuracy in using this tool. But as we
24 mentioned, it's a screening tool and that's essentially
25 what it is. It's an early warning sign, but we'd still

1 recommend in-depth studies be done if warranted.

2 So the next couple of slides I'll highlight the
3 assumptions that were updated, the demand forecast we've
4 updated to the Energy Commission 2014 IEPR Update. We've
5 also updated some demand-side assumptions like the
6 additional achievable energy efficiency. There were some
7 minor updates to the IOU PPAs in there. We've also updated
8 the local capacity requirement values to the latest ISO
9 published values for 2016-2020, 2021 and 2025.

10 We've also made some updates to the demand-side
11 adjustments. And those, we assume a one-for-one megawatt
12 reduction that if there is a demand-side program, it would
13 reduce the local capacity requirement by one megawatt.

14 For resources, we've updated to the 2015 NQC
15 list. There's some minor updates on the IOU PPAs. We've
16 also updated to the 2015-2016 RPS Portfolio, using the
17 trajectory case. And it largely is the same as the last
18 cycle, but just minor updates to that portfolio.

19 We do have retirement assumptions in here. We're
20 following the State Water Resource Control Board OTC
21 compliance dates. There's some age-based retirements and
22 those are based on the LTPP assumptions for retirement
23 years. Like gas-fired resources have a 40-year retirement
24 assumption. And then we take a look at contract-based
25 extensions. So we took a look at the PUC contracts

1 database and extended any of the age-based retirements if
2 there was a contract in place.

3 So the local capacity requirements, as I
4 mentioned we used the latest published results available,
5 and these requirements could be modified by demand-side
6 programs like energy efficiency, behind-the-meter DG, and
7 behind-the-meters storage. If there were any transmission
8 subsystem upgrades, not included within the assumptions for
9 that study year there may have been an adjustment there. I
10 think in this cycle we don't have any of those, but I know
11 in the last cycle there were some that fell into that
12 category.

13 Okay, so now to look at the results of our
14 analysis. So this chart shows the surplus deficit results.
15 So essentially, we're taking the tabulation that I
16 mentioned earlier. We're looking at what the local
17 capacity requirements are, comparing it to total resources
18 available in the area, and then calculating the resulting
19 surplus or deficit. And so we're showing this in megawatts
20 for the five different areas of interest.

21 So in this chart, we've got the combined L.A.
22 Basin, San Diego areas in the dark blue or dark royal blue.
23 The L.A. Basin is the red line. West L.A. Basin is in
24 green. The San Diego IV is in purple. And then we have
25 the San Diego subarea in that light blue color. That's all

1 on its own shape.

2 So just looking at this chart what we find is
3 that surpluses exist in most areas through 2020. The
4 results for the key years are largely in line with the ISO
5 study results.

6 We can see that the OTC retirements that occur in
7 the year 2020 that we could see that surplus drop off in
8 the green line. If you look at the green line that's West
9 L.A. Basin, what you can see is that area where much of the
10 OTC is located in Southern California that at the end of
11 2020, that surplus diminishes and we end up with a deficit
12 in 2021 that essentially grows out through 2025.

13 And to give you some idea of what assumptions are
14 in here, so we do, as I mentioned, the OTC retire at the
15 end of 2020, so we see the deficit in of 2021. But the
16 Edison PPAs are included in here. So we do have the re-
17 powerings for Alamitos, Huntington Beach and their
18 preferred resources in the analysis.

19 The San Diego subarea, what you can see the light
20 blue line, in that particular area the OTC retirement is at
21 the end of 2017. We've heard earlier that there could be a
22 potential delay, but basically the results in here capture
23 that Encina retires at the end of 2017 and Carlsbad comes
24 online. So Encina is 960 megawatt project and Carlsbad is
25 500 megawatts. And so what we find is that in 2018 there's

1 a small deficit.

2 And looking at San Diego, that deficit appears to
3 persist in most years of the study period. And again as I
4 mentioned these results are largely in line with the ISO
5 study results for the key snapshot years that they run.

6 Let's see what else, so when you look at the
7 results and we see okay, there are deficits. There's a
8 gap. How can we close the gap? So I thought I would just
9 highlight what the ISO published in its 2015-2016 TPP
10 Study.

11 So in the San Diego area, what they indicated is
12 that if San Diego procures preferred resources, the 140
13 megawatts that we heard earlier that's out for solicitation
14 if they procure that with additional storage, that could
15 eliminate the deficit in San Diego. And so we find that
16 that is true and to be the case that if you did procure
17 this additional amount, somewhere in the neighborhood of
18 200 megawatts, that would eliminate the deficits in San
19 Diego.

20 In West L.A. Basin, what was proposed is if
21 Edison procures its additional authorization -- so they had
22 about 2,500 megawatts of PUC authorization and their PPAs
23 total somewhere in the neighborhood of just above 1,800
24 megawatts. I believe they have about 170 megawatts more of
25 preferred resources that they need to procure to meet the

1 minimum levels, but that still leaves additional unused
2 authorization, so if Edison procures additional resources
3 and also demand-response -- the term that the ISO uses is
4 repurposed -- some of the demand-response in West L.A.
5 Basin. And what repurposing means is to make it eligible
6 to meet local capacity requirements. That it needs to be
7 fast enough responding to meet local capacity requirements.

8 So those were a couple of proposals that the ISO
9 made. And there was also a possibility of some minor
10 transmission upgrades that could potentially help close
11 this gap.

12 So in addition to the baseline results, we
13 recognize that although they are carefully prepared, many
14 of the assumptions are subject to uncertainty. So LCAAT's
15 a tool that is easy to run, additional sensitivities, it's
16 not as time consuming or labor intensive as running the
17 power flow analysis. So we ran a number of sensitivities
18 and we created them, trying to look at a plausible range of
19 alternative assumptions around the baseline. And then how
20 those would impact the surplus or deficit on each of the
21 areas.

22 So the next two slides cover the list of
23 sensitivities that we covered. And essentially all of the
24 ones listed, except for one, were the same ones that we ran
25 in the last cycle. The report provides detail assumptions

1 about how we produced these sensitivities. And I'll just
2 give you a little bit of information about the new
3 sensitivity that was created for this cycle. And this is
4 the peak hour shift sensitivity.

5 So the agencies have recognized that with the
6 increasing penetration of the behind the meter solar PV,
7 that the peak could be occurring in a later hour of the day
8 than what is assumed in the Energy Commission Forecast. So
9 what the peak hour shift sensitivity captures is that the
10 load could be higher than what's assumed in the Energy
11 Commission Forecast, because the peak's occurring later.
12 And it also captures that there may be less capacity
13 available from the solar PV in that later hour.

14 So another note about the sensitivities that some
15 of these are demand-side sensitivities and some are supply
16 side. Some will make the surplus deficit worse and some
17 will make them better. So there's a range of sensitivities
18 that were run.

19 So the two areas that we're going to take a look
20 at are the West L.A. Basin subarea and the San Diego
21 subarea results. And both of those areas had deficits in
22 the baseline study. So the two sensitivities that we're
23 showing are essentially the boundary sensitivities. So the
24 2015 IEPR demand is one boundary case. And the high-demand
25 sensitivity is the other boundary case and all of the other

1 sensitivities fall somewhere in between those two cases.

2 And so what we see here, again, there surpluses
3 in the early years and we see that surplus drop off after
4 the OTC retirements at the end of 2020, and then we see the
5 surplus diminish over time. So the blue line is the
6 baseline case. And then the green line is our high-demand
7 sensitivity, which shows that the deficit occurs in the
8 same year as in the baseline case 2021. But the deficit is
9 just worse than the baseline case.

10 And then at the opposite end we have the red
11 line, which shows the benefits of the lower-demand forecast
12 from the 2015 IEPR demand. And in that case, that
13 eliminates the deficit in all years of the study period.

14 And so as we looked at the 2015 demand
15 sensitivity and we noticed that even in the early years,
16 there's quite a difference than the baseline case. What we
17 found is that there's no single driver that is accounting
18 for the lower forecast. But I can highlight some of the
19 differences in the 2015 forecast than what is in our
20 baseline case. That there is an increase in demand-
21 response, there's an increase in non-PV self-generation at
22 the peak, there's different economic and demographic
23 drivers. There's more recent data on historical behind the
24 meter PV penetration. There's more recent actual
25 electricity data, so both peaks and energies data are

1 updated.

2 And then there's also a redefinition of the
3 Edison transmission access charge area. So the boundary
4 conditions are different in this forecast than what's in
5 the baseline case.

6 So the next set of results we'll look at are the
7 San Diego subarea. And this particular area has a shape
8 all its own. Its OTC unit retires at the end of 2017. So
9 we have the Encina plant retiring at the end of 2017 and
10 Carlsbad coming online to replace it.

11 And in the baseline case, we have San Diego's
12 PPAs and to date, it's a small amount. I think its
13 somewhere in the range of around 40 megawatts, but as
14 mentioned earlier today, they have a solicitation out for
15 another 140 megawatts of preferred resources.

16 So the blue line is the baseline case. The green
17 line is the higher demand. And in that case, we see that
18 deficits occur initially in the same year as the baseline
19 case and continue to grow larger by the end of the study
20 period. The red line is the 2015 IEPR Demand Forecast
21 sensitivity. And what we see is that the deficits are
22 eliminated in all years of the study period.

23 COMMISSIONER FLORIO: Just a quick question? For
24 the green line, the sensitivity with high demand, is that
25 from the 2013 or the 2015?

1 MS. WONG: So the higher-demand case would be
2 from the 2013. And so that is half a percent higher growth
3 per year. And it is based on the 2013 forecast, so it's
4 based on the baseline, the forecast that's in the baseline
5 case.

6 COMMISSIONER FLORIO: Thank you.

7 MS. WONG: So in addition to running the
8 sensitivities, which changed a single variable, we also ran
9 a couple of different scenarios. And so in the scenarios,
10 we were able to combine multiple variables into one
11 scenario that looks at the changes in one single case. And
12 so that you'll find is that some variables can be
13 offsetting, while others can basically move the surplus or
14 deficit in the same direction.

15 So we came up with two alternatives scenarios,
16 the high surplus and the pessimistic case. And in the
17 high-surplus case, we've got the 2015 IEPR Load Forecast
18 and we've combined it with the peak hour shift variable.
19 And that one is more offsetting to the 2015 IEPR Load
20 Forecast and moderates that reduction in the load forecast.

21 In the pessimistic case, we've combined three
22 variables, high load, partial AAEE saving and per
23 generation loss due to early retirements. And in that
24 particular case all three of those variables tend to move
25 and make the deficit worse.

1 So we chose variables. In choosing these, we
2 tried to construct a plausible scenario, but you can
3 combine any of the ten variables that were mentioned in the
4 sensitivity analysis. You can combine those in any
5 particular way to come up with a different scenario.

6 So again, I'm going to show the West L.A. Basin
7 subarea and the San Diego subarea results. And so here,
8 for West L.A. Basin, we see the similar shape, surpluses in
9 the early years, the OTC retirements in 2020 and the
10 diminishing surplus to deficits in the baseline case and in
11 the pessimistic case. So the baseline case is in blue and
12 the pessimistic case is in green. And then the red line is
13 the high surplus case, which eliminates deficits in all
14 years of the study period.

15 This is the chart for San Diego. And here, we've
16 got the baseline case in blue. The green is the
17 pessimistic case, which we largely followed the same shape
18 as the baseline case, just that the deficit grows larger by
19 the end of the study period. The red line is the high-
20 surplus case and in that particular case deficits are
21 eliminated in all years of the study period.

22 So looking at the baseline versus the scenarios,
23 what we find is some scenarios will follow the same shape
24 as the baseline pattern, but others may deviate slightly.
25 We can see that both in West L.A. Basin and San Diego that

1 we see the impact of the OTC retirements on the surplus and
2 deficits. And what we find is that the scenarios have
3 quite a wide range.

4 So to conclude, our baseline results for the key
5 years are largely consistent with the ISO power flow study
6 results. What we find is that there are deficits in West
7 L.A. Basin between 2021 and 2025 after the OTC retires. We
8 find for the San Diego subarea that there are deficits in
9 most years of the study period. By looking at sensitivity
10 analysis and the scenario analysis that we find alternative
11 assumptions can eliminate the deficits or increase the
12 surpluses.

13 So some findings and recommendations, we believe
14 the ISO should study to the year 2018, which they currently
15 are. And as mentioned earlier today those results should
16 be available at the end of this year. We believe they
17 should continue to study the year 2021 as well, due to the
18 large number of OTC retirements that will occur at the end
19 of 2020.

20 Then for the CPUC, we believe that they should
21 review the surplus or deficits of local capacity
22 requirements for West L.A. Basin and San Diego subarea to
23 determine whether there's sufficient procurement
24 authorization, whether that has been granted or actually
25 implemented. And then we also encourage them to release

1 the 2013 to 2015 evaluated energy efficiency savings
2 estimates as soon as possible and devise a realistic range
3 of the EE projections.

4 The last evaluated results are for the cycle 2010
5 to 2012. And what we found in those particular savings
6 estimates showed that the peak savings to energy savings
7 was much lower, like I think 40 percent lower than
8 projected. So we think it's important that we continue to
9 look at these savings estimates.

10 And then we also believe they should look at the
11 impact of the peak shift on capacity ratings, because if
12 the peak is occurring the later in the day there may
13 actually be less capacity that you can count on from the
14 solar PV than is being counted on in our current studies.
15 And that concludes my presentation.

16 MS. RAITT: Thanks, Lana. Next is Mike Jaske, to
17 discuss proposed contingency mitigation options.

18 MR. JASKE: Good afternoon. For the record, my
19 name is Mike Jaske with the Energy Assessments Division,
20 Energy Commission staff.

21 So in this presentation I'm going to be getting
22 an overview of the two types of mitigation measures that
23 the interagency team has developed to date. An OTC
24 deferral request to the Water Board we talked a little bit
25 about already, and a new generator development option.

1 Both these were discussed at some level in the
2 workshop a year ago, but we've refined our ideas and are
3 reporting to you this afternoon. Our written report has
4 been prepared and is docketed. And if people want copies
5 it's out on the table. And at the very end, I'm going to
6 provide a little bit of an example about the LCAAT results
7 might be used to decide when and if these measures are to
8 be triggered.

9 So there's some terminology here: contingency,
10 mitigations options and triggering. Let me try to give
11 examples of what each of these three are in the context of
12 the things we're talking about today.

13 So the contingency example is we're going to have
14 a delay in the replacement power plant for an OTC facility.
15 Think Carlsbad.

16 The mitigation measure, obviously, is a potential
17 delay in the compliance date for the OTC facility, namely
18 Encina.

19 And triggering, that's the process of determining
20 if this delay in the online date is sufficiently firm and
21 that there are adverse enough consequences that the
22 mitigation measure, namely deferral of the compliance date,
23 really should be initiated. That's how we're using these
24 terms.

25 So the interagency team has developed this sort

1 of basic framework with these three components. We're
2 continuously monitoring the development of projects and
3 trying to keep track of programmatic activity in terms of
4 impacts of energy efficiency or DR development or DG,
5 etcetera. We're trying to have a suite of mitigation
6 measures developed and on the shelf, ready to be
7 implemented if and when they're necessary. And we're
8 apprising agency leadership regularly of our results.

9 So let me turn for a while now to OTC deferral --
10 three or four slides. There has been discussion in some
11 PUC forums by interveners, about deferring OTC facilities
12 on a long-term basis, perhaps even an indefinite basis.

13 The energy agencies worked very closely with the
14 Water Board back in 2009 and '10 to develop a compliance
15 schedule that tried to match what we understood, at that
16 point in time anyway, about projects that were in the
17 pipeline. And the Water Board modified its original
18 compliance date schedule to take advantage of that
19 procurement and planning information that we provided to
20 them.

21 So where it was pretty clear there was a resource
22 already being considered and maybe even permitted that was
23 given a relatively early compliance date. And where we
24 didn't have any idea how certain plants were going to be
25 delayed, those got pushed back to the end of the compliance

1 date schedule of 2020.

2 Reinforcing what Mr. Bishop said earlier, as a
3 staff person involved in all of that, we need to be very
4 careful to the way and when and how we make compliance date
5 deferral requests. Unless they're really extraordinary
6 circumstances, we, the staff team, expect the OTC deferrals
7 are for a short period, one to two years and that's it.

8 I think Mr. Bishop mentioned this a little bit.
9 But let me reinforce it. The whole idea of compliance date
10 deferral to assure reliability is not a violation of the
11 policy. It's central to the policy. It's built into the
12 policy, in the two forms that he mentioned. There's this
13 sort of emergency-scale deferral that the ISO can initiate
14 on its own and then for longer-term delays, the whole
15 SACCWIS process.

16 All of that is built into the policy its self.
17 So the process we may be going through -- talking about
18 today and may actually be starting later this year, is
19 contemplated from the beginning of the OTC policy.

20 The SACCWIS body, the Statewide Advisory
21 Committee on Cooling Water Intake Structures was composed
22 of all the statewide agencies that seemed to have something
23 relevant to contribute. So Water Board, Energy Commission,
24 PUC, ISO, ARB, Coastal Commission and the Lands Commission,
25 all have some kind of handle on one or more of these OTC

1 facilities. And that body operates as a formal advisory
2 body to the Water Board, operates in public, follows
3 Bagley-Keene.

4 There are five items highlighted in red here that
5 are fundamental to the deferral request: specificity,
6 assure compliance, use existing processes, be timely and
7 recognize consequences. We worked these out with the Water
8 Board staff and executive management. And that process of
9 considering and implementing an OTC deferral request is now
10 written out in that staff report that I mentioned earlier,
11 at the beginning of my presentation.

12 And again, reiterating what Mr. Bishop said
13 earlier the assure compliance is probably the most
14 important of these to me. We need to have a specific
15 mitigation measure that is -- or excuse me -- a solution
16 that we can say directly to the Water Board, "Delay this
17 plant for one year. This final permanent solution will
18 come into play at the end of that period of time and the
19 OTC plant will shut down."

20 Here's the schedule that has been worked out with
21 the Water Board staff. All of the items that say 30 - 45
22 days, etcetera, add up to about a year. The very first
23 line, the analytic stuff that's on the shoulders of the
24 energy agencies primarily is highly variable. So it all
25 depends on the complexity of the situation, the ability to

1 rely upon analyses that already exist, the need to conduct
2 new ones. And I think it's become clear in today's
3 workshop already that the ISO has decided that it will
4 conduct new analyses. And so we're likely not to have
5 those until the end of this year. And then we'll be
6 triggering a process that looks like something like this in
7 terms of elapsed time or various steps.

8 So there's a few remaining issues that still need
9 to be resolved even though the majority of the deferral
10 process is clear. In general, it's possible that two
11 different ways of deferring OTC compliance dates can
12 happen.

13 One is through the owners themselves. LADWP has
14 already done that. Early on in the OTC process they were
15 unhappy with the schedule that they were provided, pulled
16 together a convincing package, presented it to the Water
17 Board, obtained some delays. That might still happen in
18 the case of OTC owner that was really intent on a fix to an
19 existing plant, not just shutting one down and replacing it
20 with a new facility.

21 Moss Landing comes to mind. Dynegy seems to
22 clearly want to do some physical changes to those
23 facilities and prolong their life. If for some reason it
24 was going to take a little longer than the current
25 compliance date schedule, perhaps they would initiate a

1 delay request and have to justify that to the Water Board.

2 More central to our circumstances, of course, is
3 where there's a reliability issue the owner of the facility
4 can't be expected to understand a reliability issue. It's
5 up to the energy agencies to put forward such a deferral
6 request.

7 Let me turn to the new generation option then.
8 So a year ago, at the comparable workshop, there were these
9 three options presented to you. Shortly after the
10 conclusion of that workshop, the interagency team decided
11 that options one and two would be dropped. And we'd rely
12 upon option three, which is to rely upon the existence of a
13 pool of projects that are already permitted, but don't have
14 power purchase agreements therefore they're not going to go
15 forward. But should there be a necessity for a new
16 facility to take the place perhaps of one that's fallen by
17 the wayside for some reason, then we could trigger one of
18 these. And having already been permitted it would only
19 take the procurement process and actual construction to
20 come online.

21 And so these three steps of this slide outline
22 the essence of this new generation option: create and
23 continuously monitor a pool of developer initiated projects
24 that have received permits, understand where those are in
25 terms of their permit lifetime, be cognizant of any changes

1 in direction that local air districts have received in
2 terms of ambient air standards or other things that might
3 jeopardize one of those permits still being valid. Take
4 that into consideration in terms of the viability of the
5 pool.

6 If analysis, LCAAT, ISO power flow studies, other
7 information implies that we need to select a new generation
8 project, then Step 2 comes into play. Utility selects a
9 project from the pool. There may be some issues about how
10 perfectly matched any one of those are to the particular
11 problem, but that's the pool that exists and have to choose
12 which one or ones to go forward with. There may be some
13 modifications that need to be done to such a permit or the
14 permit of the facilities that are selected. That needs to
15 be happened. And then utilities submit the PPA to the PUC
16 for approval.

17 Once the PUC approves that, then of course the
18 equipment is ordered and developer selects the contractor
19 to build it. It's built and comes online.

20 This is our best understanding of the timeline
21 associated with these processes, so the Energy Commission
22 staff monitoring the pool doesn't take any time. But if
23 there's an initial analysis that suggests that triggering
24 is appropriate, then we need to have that confirmed.
25 That'll take a few months.

1 Then the various steps associated with the
2 project selection itself and any tuning up of the permit
3 and then finally the construction period itself.

4 In aggregate, I think those add up to between 35
5 and 58 months, so essentially three-to-five years from the
6 point of triggering to get a project online.

7 And so that is an important quality of this
8 option. We need to be looking at least three-to-five years
9 forward with our analytic tools trying to understand
10 whether we have a potential problem that emerges out there,
11 because if it takes three-to-five years to implement the
12 chosen solution, you need to be essentially not just
13 monitoring today what's happening, but projecting what's
14 going to happen that far forward or even further.

15 So here's our pool of projects. Three of them,
16 Carlsbad Unit 6 in San Diego, Huntington Beach Phase 2 in
17 Orange County and Alamitos Phase 2 in West L.A. Basin.
18 There was a fourth project that was nearing the point of
19 getting an Energy Commission license and a South Coast AQMD
20 permit, but it has withdrawn and it's no longer under
21 consideration.

22 So what are the next steps for this option? Or
23 these options, excuse me, these options? The OTC deferral
24 option is really ready to be implemented. The generation
25 construction option has some detailed questions about the

1 longevity of permits -- as time goes by, what kind of steps
2 would be necessary to refresh a permit or update or if too
3 much time has gone by to start all over?

4 We need to continue our efforts. Maybe continue
5 is a better word than initiate to resolve these remaining
6 issues with the air districts. Their presentations
7 developed for today can be helpful and we can continue the
8 dialogue with them.

9 As the staff paper on this subject indicates,
10 there are still some questions on the financial side of how
11 these options work. For the OTC deferral option we're at
12 short term. Nothing's being built, just being operated
13 longer. Who pays? Is it an ISO AERMOD contract? Is it
14 some kind of a PPA that the PUC approves?

15 How do -- and that may depend on agreements about
16 how a plant is even operated. Is it operated solely in a
17 reliability mode? Does it generate any energy, is it only
18 dispatched when reliability dictates or is there an energy
19 component also -- some complications of how to treat that.

20 From the new generation construction option,
21 clearly that's a plant that's going to be built for the
22 long term and a PPA is the appropriate vehicle for that.

23 So my last section is going to be how to use the
24 LCAAT tool or other information, like ISO power flow
25 studies to inform the triggering process.

1 So in some respects, we've already been through a
2 dry run to this a year ago. LCAAT showed that there were
3 future deficits in year 2021 in the L.A. Basin. ISO had
4 not conducted studies that showed that. They did agree to
5 conduct those studies. The studies confirmed that there
6 was a problem, but instead of triggering any action at that
7 time, we were basically in a watch and wait mode, because
8 the timeline to address those problems seemed to be far
9 enough away that we could afford that time.

10 Now a year has passed. LCAAT still is showing
11 2021 problems. ISO is already committed to study 2021. It
12 may be time to act in the not too distant future, if we
13 have ISO studies that confirm what LCAAT showed and what
14 the ISO studies showed a year ago.

15 So when we have that kind of information, either
16 from LCAAT or from ISO, how do we use it? This is sort of
17 a stylized pair of charts side-by-side to help you see
18 that.

19 On the left hand panel, the blue line, which is
20 sort of in the middle, is the original we call them sort of
21 the gross LCR requirement. The green line, below it, is
22 the adjusted LCR requirements. And those adjustments come
23 about because of demand-side measures and/or transmission
24 projects that weren't counted on in the initial gross LCR
25 requirements.

1 Then there are two jagged lines, one purple, one
2 red. Those are showing resource tabulations in the same
3 area. And whenever the resource tabulation, either purple
4 or red goes below the green line, that's when there's a
5 deficit.

6 So turning to the right hand panel, case A, the
7 purple line, shows that it dips below the green line in one
8 single year, in this case 2021. And then bounces back up
9 and then hovers above the green line. That would be the
10 kind of information that would lead us to conclude that we
11 only needed a temporary solution to a problem. So an OTC
12 deferral request might be an appropriate option to
13 consider.

14 Alternatively, in case B, the projections show a
15 worse gap and also one that never resolves itself in a
16 positive surplus. And so this is the kind of information
17 that would lead us to decide that a new generation option
18 was appropriate.

19 I think this slide pretty much says in words on
20 paper what I have just said. But the elapsed time point in
21 the -- the last two sub bullets -- let me focus on those.
22 The elapsed time from triggering until a solution can be
23 operational is important. Going back to the 2021 issue in
24 West L.A., if the problem is OTC is a delay, like Mesa
25 Loop-In, and it is a question of being delayed a year or so

1 but we are four or five years away from that issue or that
2 happening, then there's no point in getting alarmed or
3 triggering anything at this point. So this wait and see
4 notion that I mentioned earlier, it seems appropriate.

5 In addition, it may also be the case that you
6 decide you want to trigger something now, but you're still
7 -- because of the elapsed -- because the solution takes a
8 long time to implement, like the new generation option.

9 If new information comes along in the meantime
10 while that process is playing itself out, then you want to
11 know that there are off ramps that can be triggered if new
12 information emerges. So if the next cycle of analysis
13 comes to a different conclusion, you want to be able to
14 essentially cancel that option before you've spent too much
15 money and you're irrevocably committed to building a new
16 facility.

17 So let me wind up with a couple of slides dealing
18 with the particular circumstance of Carlsbad in the San
19 Diego subarea. This is the bar chart showing the same
20 information that Ms. Wong presented in the red bar. So
21 we're showing the surplus or deficit in the San Diego
22 subarea from 2016 through 2021. The red bars are the same
23 information that she showed in a line graph format. The
24 blue bars are what would happen if Carlsbad was delayed one
25 year. So instead of being operational in the summer of

1 2018, it's operational in the summer of 2019.

2 So Encina has closed down at the end of 2017.
3 There's no Carlsbad in the summer of 2018. There's a huge
4 deficit. Next summer comes along, Carlsbad has become
5 operational. In the meantime, there's a small deficit.
6 This is the obvious circumstance for an Encina OTC
7 deferral. It's a short-term period. We know what the
8 solution is. It's Carlsbad. The circumstance would be
9 quite negative if we were to try to just ignore it. And so
10 OTC deferral seems like the appropriate action in this
11 circumstance.

12 So where are we? Carlsbad now is sufficiently
13 delayed that the agencies need to strongly consider making
14 a deferral request. The issues are really how much Encina
15 capacity to defer and for how long? They also need to be
16 more serious about deferral of Redondo Beach or Alamitos,
17 due to Mesa Loop-In. We'll know more this fall about the
18 delays in a final decision, if any. And then whether or
19 not those approval delays can be made up in the project
20 timeline itself.

21 ISO's agreed to provide study results later this
22 year. And SACCWIS will of course need to consider an
23 Encina deferral possibly in two steps, becoming familiar
24 with the issues this fall and then as soon as the
25 information from the ISO about the nature of the solution

1 becomes available, then initiating a formal action by
2 submitting a formal report to the Water Board.

3 And that's all I have for you this afternoon.

4 MS. RAITT: Thank you, Mike.

5 Next is Bhaskar Chandan from the South Coast Air
6 Quality Management District.

7 MR. CHANDAN: Good afternoon. First of all, I'd
8 like to thank CEC for inviting South Coast to be a part of
9 this workshop. My name is Bhaskar Chandan. I am a
10 Supervisor with the Power Plant Permitting Group at the
11 South Coast AQMD. And today, I'm going to present some of
12 the steps involved in permitting a power plant for the
13 South Coast.

14 As you know, South Coast is the Air Quality
15 District for Southern California. We have a population of
16 around 16 million people, our area covering about 11,000
17 square miles. We regulate about 27,000 facilities out of
18 which about 400 are major sources. And unfortunately, we
19 also have the worst air quality in the U.S. for ozone and
20 PM 2.5.

21 The Title V Permitting Program was a part of the
22 National Operating Permit Program established under Title V
23 of the 1990 Clean Air Act. It provides a consistent
24 permitting process for major stationary sources nationwide.

25 And it consolidates requirements of all the

1 permits into one document. Previous to Title V we used to
2 have what we call command and control permits. After Title
3 V we have consolidated all those permits into one document.

4 Additionally, it also increases compliance
5 accountability by the facility operator. We are required
6 to add a lot of conditions and requirements to account for
7 compliance issues.

8 And a corner stone of the Title V Permitting
9 Program is the public participation and EPA review of the
10 permits. And most of the power plant permits that we do,
11 does involve public participation.

12 So who's subject to Title V permits?
13 Predominantly all the power plants that we permit are
14 subject to Title V. But up there you can see the
15 thresholds that we have for the Title V Permitting Program,
16 which would constitute major sources.

17 For the NOx and VOC, we are at ten tons per year
18 as our thresholds. Those are one of the lowest thresholds
19 in the nation.

20 In addition to meeting those thresholds there are
21 other facilities who might get pulled into Title V
22 Permitting Program. Those would be the facilities who are
23 subject to the Acid Rain Program, Title V of the Clean Air
24 Act, which would include all the power plants. Any
25 facilities that are subject to NSPS and NESHAP, those would

1 also be pulled into the Title V Permitting Program.

2 So the general power plant permitting process, it
3 includes for the South Coast AQMD -- we are the air
4 permitting authority all power plants within the South
5 Coast Air Basin. For the projects that involve CEC, that
6 are regulated by CEC, we are co-air permitting authority on
7 those projects. And these are primarily power plants that
8 are over 50 megawatts.

9 On major projects, the lead agency for preparing
10 the environmental impact analysis for power plants small
11 than 50 megawatts, usually it is the city or the county.
12 And for power plants that are over 50 megawatts, CEC does
13 CEQA plan or the CEQA process.

14 Permitting and licensing process is pretty much
15 what was there in the previous slide -- AQMD's role and
16 CEC's role in permitting a power plant. So SCAQMD, the
17 determination of a compliance and permitting process, in
18 order for AQMD to grant a determination of compliance or a
19 permit, the project must meet specific requirements.

20 Primarily on top of the list are the NRS
21 requirements where we look at the best available control
22 technology or lowest achievable emission rate, BACT/LAER.
23 We look at the air quality modeling and we look at emission
24 offsets. Any increased in emission need to be offset and
25 we need to make there are sufficient offsets before we

1 issue the permits.

2 We also do a new source review for toxics
3 emissions where we evaluate cancer risks and non-cancer
4 risk. This involves running dispersion modeling and coming
5 up with a health risk assessment on the project.

6 For power plants and for other major projects
7 sometimes PSD is triggered for power plants. For
8 attainment air pollutants we are required to look at PSD
9 aggregations. The analysis is similar to our new source
10 review where we have to do BACT analysis, air quality
11 modeling. But for PSD in addition, we have to do a
12 visibility modeling analysis.

13 For all the power plant projects we also have to
14 look at greenhouse gas emissions and PSD for greenhouse
15 gas. And we have to a BACT analysis. And that's been
16 taking up -- on the recent projects it's quite a lot of
17 work that we are doing to establish a top down BACT
18 analysis for these projects.

19 And all the Title V permits, these need to be
20 noticed and receive public comments. It goes to EPA, any
21 comments that we get from the public and the EPA, we need
22 to respond to those before we can issue the permits.

23 This is a simplified flow chart basically, of
24 CEC's licensing process on the top and the South Coast AQMD
25 permitting process at the bottom. Basically this is to

1 depict where the two agencies are interrelated,
2 interconnected. Once we issue the PDOC, the Preliminary
3 Determination of Compliance for the proposed power project
4 that triggers the PSA on CEC's part.

5 Further down once we issue the PDOC we receive
6 comments, we address those comments, and we make changes as
7 required to the permit before issuing the FDOC.

8 Once the FDOC is issued, CEC issues the FSA. And
9 we typically don't issue the permit to construct at that
10 point and time. We wait for the CEC to issue the final
11 license before we issue the permit to construct for a Title
12 V RPSD facility.

13 The time lag between the FDOC to issuing a permit
14 could be a few months or longer. That depends on how long
15 CEC takes to issue the final license and other issues that
16 could arise.

17 At AQMD this is a typical permitting process
18 where once we get a complication we make sure that all the
19 information is there for us to make an engineering
20 evaluation. We do quite a bit of leg work in doing an
21 engineering evaluation where we study the BACT air quality
22 modeling, offsets, health risk assessment. We basically
23 look at our rules, we look at the state rules, we look at
24 the federal rules.

25 And just to give you an idea, one of the recent

1 projects where we had done an engineering analysis, it was
2 close to 300 pages long. So it's a lot of work on our end
3 to issue these permits.

4 Once we issue the PDOC, of course, there is
5 public notice involved and we have to review and consider
6 all the comments before issuing the final permit.

7 These are some of the recent permitting projects
8 that we have done. I think Matt and Mike both have gone
9 through most of these projects, so I'll go through it
10 pretty quick.

11 On the top are the project permits that we have
12 issued: LADWP Scattergood Repower, we issued this permit
13 for 524 megawatts. This was a few years back, actually
14 last year, and the plant is started. We have received just
15 recently more permits for repowering Boilers 1 and 2 from
16 Scattergood for a total of 345 megawatts. Those are in the
17 initial stages.

18 City of Pasadena DWP Repower Project, we had
19 issued this permit in 2013, it's a 71 megawatt. It's
20 currently undergoing commissioning and it's expected to
21 start by December of this year.

22 Pending permits: El Segundo Repower, we already
23 heard this has been withdrawn and terminated. The
24 applications in the South Coast are still active, we have
25 to do some administrative work before we cancel those

1 permits or applications.

2 AES Huntington Beach Repower Project, which is
3 very active right now, it's 844 megawatts. You already
4 heard about this.

5 Both AES Huntington Beach and AES Alamos
6 Repower, these have gone through the public noticing. We
7 have received a lot of comments and we are in the process
8 of responding to those comments. And we expect to issue
9 the FDOCs shortly for both of those projects.

10 Assessing emission offset needs, facilities who
11 are permitting power plants with the South Coast AQMD, they
12 have an option of procuring the credits in the open market
13 or for boiler repower projects they can ask AQMD and use
14 the internal bank.

15 We set up the Rule 1304.1, which was adopted in
16 September 2013. It provides power producers at existing
17 locations the option to pay a fee to use offset from the
18 AQMD for repowering utility boilers. There are two
19 options: either it can be paid annually or they can make a
20 full payment up front.

21 And there are nine anticipated repowering
22 projects that we currently have, potentially over 5,700
23 megawatts of power replacement is what we are anticipating.

24

25 In addition to the 1304.1 Rule we are also

1 developing a couple of other rules: 1304.2 and 1304.3. I
2 believe these were covered in last year's workshop at UC
3 Irvine in quite a lot of detail. The timeline has slipped
4 a little bit, we are hoping to adopt it this year, but it
5 slipped to early next year.

6 And these two rules basically, the first one is
7 for projects that are being regulated by CPUC and the
8 second rule is for local public owned electric generating
9 facilities. So we are making the offsets available to
10 them, because we know it's difficult to get some of those
11 offsets in the open market. So similar to the 1304.1 we
12 are in the process of adopting these two rules for other
13 sources that cannot avail the 1304.1 offsets.

14 And that concludes my presentation. There is my
15 contact information and my manager's contact information,
16 which is up there. Thank you.

17 CHAIRMAN WEISENMILLER: Thank you.

18 MS. RAITT: So our next presenter is presenting
19 remotely from WebEx. And it's Jim Swaney from the San
20 Diego Air Pollution Control District.

21 Go ahead, Jim.

22 MR. SWANEY: Okay. Good afternoon. I'm Jim
23 Swaney. I'm the Chief of Engineering with the San Diego
24 Air Pollution Control District. I do apologize for not
25 being able to attend the workshop in person with the rest

1 of you, but I do appreciate the Energy Commission having
2 this service available, so I still can present.

3 So let's go on to the next slide please. What I
4 was going to talk about today is a little more specifically
5 on the shelf life of permits and what can be done to extend
6 the approval. And then in support of the new generation
7 option approach, what impact this would have on Carlsbad
8 Energy Unit #6. So next slide please.

9 First, I wanted to go over our normal approval
10 process. Now much like Bhaskar just went over for South
11 Coast, we have a very similar process. So I'm going to
12 just hit the highlights here.

13 For any application, of course, we have to show
14 that it's going to comply with all of the applicable
15 regulations at the local level, and that's again just like
16 South Coast, new source review is going to be the primary
17 rule that we have to show compliance with. But then
18 there's also some state and other federal requirements.

19 We would normally issue an Authority To Construct
20 that would include the conditions that they need to
21 construct with to show compliance. And they have to be in
22 compliance with that. Next slide please.

23 Once the unit or equipment is constructed, the
24 Authority To Construct becomes a temporary operating permit
25 until we can go out and inspect the equipment. Once we've

1 inspected it and everything looks good, then a Startup
2 Authorization is issued, which allows them to move on to
3 the commissioning and testing phase. Once everything has
4 been demonstrated to be in compliance then we would issue
5 the Permit To Operate. Now of course, power plants use a
6 slightly different process, so next slide please.

7 Our local Rule 20.5 governs how we handle power
8 plants that are subject to the Energy Commission licensing.
9 The application to the Energy Commission is considered the
10 same as an application to us for an Authority to Construct.
11 Like South Coast does, we issue a Preliminary Determination
12 of Compliance and then a Final Determination of Compliance.
13 And that Final Determination of Compliance has all the
14 conditions necessary to ensure compliance. So next slide
15 please.

16 Now the Final Determination of Compliance
17 acquires all the rights and privileges of an ATC, once the
18 Energy Commission approves the AFC with a certificate
19 containing all of the conditions listed in the FDOC. And
20 then we consider the AFC approval date as the date the ATC
21 is granted by the district. So next up, we will talk about
22 the shelf life and so the next slide please.

23 Now initially, the ATCs are issued to allow one
24 year for construction to be completed, however it might be
25 a longer period if needed for a construction. There is a

1 time limit. It's in our local Rule 17 that the ATC
2 including any extensions granted to that is valid for a
3 maximum of five years. If for whatever reason it would
4 take longer than five years to construct the operation, at
5 that point then we would have to have a new application and
6 reevaluate it from scratch, if you will.

7 Now, a company can apply to extend the life of an
8 ATC again up to that maximum of five years. But we would
9 be reevaluating the equipment to assure continued
10 compliance with any regulations before we could grant any
11 extension. Next slide please.

12 So when that extension is requested, we will
13 reevaluate things under new source review and different
14 things such as best available control technology, lowest
15 achievable emission rate, the air quality impact
16 assessment, health risk assessment and other regulations
17 that the local, federal and state may have. Going a little
18 bit more into specifics, the next slide please.

19 Under BACT or LAER, this is a moving target. It
20 can be affected by decisions that we make, permitting
21 decisions that other districts make, additionally decisions
22 can be made in other states and by the federal
23 Environmental Protection Agency. Of course, for power
24 plants BACT has been pretty much established for a number
25 of years. I don't see that being an issue going forward.

1 Next slide please.

2 So the next thing the Ambient Air Quality Impact
3 Analysis, we would need to redo this modeling of the
4 emissions if there were a new standard came into play from
5 EPA or if EPA revised the modeling guidance. Or if there
6 any updates to the model that we use, which is AERMOD. Any
7 of those cases, we would need to re-run an AQIA. If not,
8 we would not need to do that. Next slide please.

9 Similar with the health risk assessment and this
10 looks at the air toxic emissions, if there is a change to
11 the modeling guidance or the health risk values, at that
12 point then we would want to reevaluate the health risk
13 assessment before granting an extension of the ATC. Next
14 slide please.

15 Now other district prohibitory rules, because
16 they apply across the board, new, existing it doesn't
17 matter, it most likely would not impact an extension
18 request for an ATC.

19 Looking then at some federal rules, if there were
20 any new regulations coming out under new source performance
21 standards, maximum achievable control technology, MACT
22 standards, things like that, we would need to evaluate the
23 equipment to make sure that they were still in compliance
24 with those regulations. And then next slide please.

25 Another federal regulation, of course, is

1 Prevention of Significant Deterioration or PSD. In San
2 Diego, there are two types of PSD. There's our local PSD
3 rule, Rule 20.3. And then there's federal PSD, which
4 currently in San Diego is implemented by EPA. We cannot
5 implement federal PSD unless we either had a rule approved
6 by EPA or received delegation from EPA, neither of which
7 has happened to date. Next slide please.

8 So under federal PSD, of course, if you're
9 subject to it, you have to get the approval from EPA as
10 well as getting the Energy Commission license and the FDOC
11 from the District.

12 Now in the past, we have received -- requested
13 and received kind of case-by-case PSD delegation for some
14 projects. We don't see that going forward. EPA has
15 strongly expressed their opinion they would like us to
16 develop our own rule to take over PSD. And so we are
17 expecting to have an EPA-approved PSD ruled in the 2017-
18 2018 timeframe. Next slide please.

19 Now, our local PSD rule is consistent mainly with
20 what the federal PSD was in 1995. Under a specific Senate
21 Bill, 288, it can be difficult to get rid of certain, I'll
22 call them legacy rules. So this rule will continue to be
23 enforced by the District and is incorporated into the ATC
24 with the same period of validity, no more than five years.
25 Next slide please.

1 Now, specifically on to Carlsbad Energy Center,
2 or course as everyone is aware they received certification
3 for 600 megawatts, six LMS100 turbines, but only got the
4 Power Purchase Agreement for 500 megawatts or five of those
5 turbines.

6 The District FDOC, as the ATC, was granted for a
7 two-year period, knowing that it would take longer to
8 construct, for up to the six turbines. However many
9 turbines are under the Power Purchase Agreement doesn't
10 matter from our standpoint. And this ATC -- the current
11 ATC expires June 30th of 2017 and can be extended until at
12 the most June 30th of 2020. Now, next slide please.

13 And so whether the Applicant elects to build only
14 five turbines and a sixth turbine later or all six turbines
15 now makes no difference to us. At any time that they do
16 apply for an extension, which if they're delayed, they
17 might have to do it for the whole project now. But at that
18 point and time, we would determine if there was any need to
19 reevaluate the approval before granting the extension.

20 Now one thing I do want to mention on this,
21 probably the biggest thing that has happened since the FDOC
22 was published is the revised OWEHA Health Risk Assessment
23 Guidelines. We actually looked at those, prior to issuing
24 the FDOC, didn't think at the time that it would have any
25 impact on the approvability of the project, so we would

1 need to just update that little look in once we get an
2 application to extend the ATC for Unit #6. So the last
3 slide please.

4 I wanted to get my contact information in case
5 anybody has any questions specifically about San Diego
6 rules. And I'm open for any comments or any questions.
7 Thank you.

8 CHAIRMAN WEISENMILLER: Thank you.

9 I was going to thank the panel. I found that
10 there were fairly thorough and clear presentations. Do we
11 have any questions from the dais?

12 MR. DOUGHTY: Chair, I also wanted also offer an
13 appreciation to Mike, Lana and others who worked on the
14 LCAAT tool. It's been a tremendous indicator for us, a
15 good first look at possible problems, and in effect a
16 trigger to explore more deeply surpluses and deficits. So
17 thanks for that.

18 We heard a lot about the opportunities ahead on
19 both OTC extensions and other mitigation measures. And I
20 guess I would just, rather than rehash what I heard from
21 these panelists, commit the ISO and our staff to getting
22 after these and tackling the action plans that we need to
23 undertake both at the Water Board and in other forums.

24 So finally, Chair, you mentioned as we kicked off
25 the challenge of the timing, permitting timing. And that's

1 another area where we're going to need to allocate some
2 collective energy among the agencies to try to shorten that
3 and comply with the Governor's objectives.

4 CHAIRMAN WEISENMILLER: Precisely.

5 MR. BISHOP: I appreciate getting the update and
6 the Water Boards are prepared to work SACCWIS on what looks
7 like the need for an Encina extension.

8 I am a little concerned about the issues around
9 the Mesa Loop. It seems to me that it's not well defined
10 what the problem is and what the solution is. I'd like to
11 make sure we work with the CPUC to figure out if there's
12 any way to get the environmental review done in a timeframe
13 that wouldn't require us to go through an extension on one
14 of the OTC plants for that.

15 But we'll have to work through the next few
16 months to see about that.

17 CHAIRMAN WEISENMILLER: Well, yeah we do. And
18 President Picker's trying to expedite the permitting and
19 licensing to get this GO-Biz process review effort going
20 and PUC transmission. I certainly encourage anyone with
21 ideas to contact GO-Biz on how to help there.

22 Let's go to public comment. I think in the room
23 we've got, let's start with Steven Kelly.

24 MR. KELLY: Good afternoon, Chairman. I'm Steven
25 Kelly, Policy Director for Independent Energy Producers

1 Association.

2 And I found this a very helpful workshop so far
3 today. And I want to feed off some of the things that Mike
4 Jaske presented in his framework going forward, and then
5 talk about some timing issues. Because I agree with Mike
6 that there's a huge amount of uncertainties that we're
7 facing now and it makes it very difficult to know exactly
8 what to do and when to do it.

9 I'll have a slightly different opinion about
10 whether it's either/or on some of the options. I think
11 there may be a dual path forward. And specifically, I
12 think considering a path forward that has a competitive all
13 source solicitation up front to determine the full range of
14 resources that might be available to meet the needs in a
15 timely manner.

16 And then specifying a date certain for a permit
17 to be in place and a date certain for when construction is
18 supposed to be completed, so the facilities or the
19 resources are available to meet the need in 2021 would be
20 critical in doing that, I think to clarify. Otherwise, I
21 think we potentially run the risk of the tremendous amount
22 of litigation that has occurred over the last couple of
23 years, when we avoid that pathway.

24 I just want to point out we're buying capacity
25 insurance basically here in a world that's heavily vetted

1 with unknown conditions. And that's what you're doing.
2 You're just buying capacity to make sure that you've got
3 the resources in place to serve the needs. And I don't
4 know if we're ever going to get to the point where we can
5 time this perfectly. So I recommend moving forward.

6 And I just want to point out some of the timing
7 considerations though that are a problem or important to be
8 aware of. If the need is in 2021, that probably means that
9 you need a fully deliverable resource by 2020 at the
10 latest. If you need to have construction and time that
11 into the process, you probably need to figure one-to-three
12 years depending on the resource type to do construction.

13 Nobody's going to construct until you have the
14 RFO. That usually takes 18 to 24 months, maybe a little
15 longer. When you back all that out, you're into the 2017
16 timeframe pretty quickly.

17 Unfortunately, we're now in a planning process in
18 the IRP where that looks to be going to take at least two
19 years. That's not going to really get going until the
20 2017. It's looks like it'll probably trickle into 2018.
21 With a final decision at the end of 2018 usually, which
22 means you don't have a final procurement 2019.

23 There's a potential disconnect there and I just
24 want to bring it to your attention that if this is an
25 important issue, we should engage to identify it and then

1 move quickly for the solicitation process to fix the
2 problem.

3 So overall, we need market signals. The
4 marketplace needs that. It's incredibly important. I
5 recommend an all source solicitation as soon as possible,
6 hopefully in 2016, maybe 2017 at the latest, in order to
7 meet this schedule. Make sure that your permit is an
8 obligation, construction and viability is an obligation in
9 that.

10 And then to the extent that that doesn't work, I
11 think you may still have time to deal with the OTC deferral
12 as a backstop mechanism. And I would fully expect OTC
13 parties to be bidding into these solicitations as well.

14 CHAIRMAN WEISENMILLER: Thanks, Steven.
15 Greg Blue?

16 MR. BLUE: Good afternoon. My name is Greg Blue.
17 I want to thank everybody who's stayed and still here to
18 hear all the comments. I'm Vice President of Asset
19 Management for Cogentrix. And Cogentrix has a fleet of six
20 fast-starting flexible peakers located in California. The
21 ones that are really germane to this discussion, we have
22 two located in the San Diego subarea. One located right on
23 the border right across the street from Otay Mesa and Pico
24 Pio and one up in Escondido.

25 Both of these projects are not contracted for

1 2017. And that's part of the big problem that we're having
2 here is that you have these peaker plants which are
3 currently, currently keeping the lights on. And you can
4 ask the ISO about this. These peakers down there are five-
5 minute start time, one-minute minimum run time. We're
6 offering four starts a day. And the ISO is often calling
7 us five times a day in the last couple of months.

8 So but the problem is we're not a renewable.
9 We're not a preferred resource. We're not a CHP. We're
10 kind of like out there. And we're struggling to find how
11 we can find some medium-term contracts. We're not even
12 looking for long-term contracts. We're struggling and
13 having to scratch for resource adequacy contracts that are
14 three months, six months. Maybe if you're lucky, you get a
15 year contract.

16 And that's really not a way -- following up on
17 Steven's comments, we are the insurance policy that you're
18 going to need for the next five years. You have all these
19 delays happening on the resources, on the transmission, on
20 the IRP, the timing of all that. And so I just want to
21 recommend that as you're looking at options going forward,
22 right now we're focusing on the two options: the once-
23 through cooling deferral and the pool of plants. We want
24 to recommend that you put in a third option of contracting
25 with existing merchant generation.

1 And I think that that's -- and we're really
2 looking for five-year contracts. We're not looking for
3 long-term contracts. So I think that's an important
4 consideration. We'll be filing written comments with much
5 more detail on this. But as I said before, we're there
6 now. Like two weeks ago, we were called in the morning and
7 twice in the evening.

8 And if you look at the amount of renewables as
9 they come online, our number of starts have also
10 sequentially gone up just on the same pattern as that. So
11 it's clear to us that we're needed.

12 And by the way it's also clear, CalPERS is an
13 investor in our projects. And in their CalPERS for
14 California 2015 Report, which was issued earlier this year,
15 they noted that these peaker plants are the types of plants
16 that are needed for going forward to transition to the
17 long-term future that we're all going get to.

18 So I think even CalPERS has recognizing this, but
19 we hope that we can see some action from some of the other
20 regulators. We really need to see some contracts coming,
21 longer-term contracts. I don't know where we're going to
22 get it. We're going to recommend it here. We're going to
23 work at the IRP. We're going to work with the PUC. We're
24 going to keep working with the ISO on all of this.

25 But just it's an important issue for us. Thank

1 you.

2 CHAIRMAN WEISENMILLER: Okay. Thank you. In
3 your written comments it would be good to get some
4 information on the operating statistics?

5 MR. BLUE: Yes.

6 CHAIRMAN WEISENMILLER: Thanks.

7 MR. BLUE: That will be in our comments.

8 CHAIRMAN WEISENMILLER: Okay, great.

9 MR. BLUE: For sure.

10 CHAIRMAN WEISENMILLER: Anyone else in the room,
11 anyone on the line?

12 (No audible response.)

13 MS. RAITT: No, I don't think we have anyone on
14 WebEx, but we can check the phone lines. Please mute your
15 line unless you want to make comments. And if you're on
16 the phone, we'll just open the lines briefly.

17 (No audible response.)

18 No. I don't think so.

19 CHAIRMAN WEISENMILLER: Okay, so let's transition
20 from public comment. On the dais, any final thoughts, Tom,
21 Mike?

22 MR. DOUGHTY: Well Chair and colleagues. This
23 was a great discussion today. And as I mentioned when I
24 offered my opening remarks, I've sat in on literally tens
25 or dozens of preparatory calls over the last months,

1 getting ready for this moment where we're announcing this
2 challenge that we've assessed and now verified. It's time
3 now to kind of move to a ton of action and get after these.
4 So we've gone over where we need to be and what we need to
5 do. And we're eager to get cracking on the action plans to
6 mitigate these challenges.

7 To Mr. Blue's comments, thank you, Greg. We've
8 heard that from other generators as well and we take these
9 comments to heart. There is a significant effort that has
10 to be undertaken to provide those longer-term contracts
11 that you're requesting, but we do hear you and we hear the
12 other generators as well.

13 Chair, I think that's all I've got in my notes.
14 Thank you again for a good discussion. Thank you to our
15 panelists.

16 COMMISSIONER FLORIO: Yes. I think the main
17 takeaways I have thus far are that we really do need to
18 start moving on the Encina extension of the OTC. The
19 contract was approved but the appeals are holding it up and
20 it looks like we're going to need at least the 90 days if
21 not more. So I think it's time to get that process
22 started.

23 I think the situation in L.A. is more unclear to
24 me. As I look at the sensitivities that use the 2015 IEPR
25 Forecast it seems like we've got a 1,000 megawatt cushion

1 in L.A. and probably 500 megawatts in San Diego. But there
2 are these other cases that look much more dire, so I guess
3 the question is how much confidence do we have in that
4 forecast?

5 It might be helpful to look at the 2015 IEPR
6 high-demand case and see where that falls within this
7 range. I assume it's less than the 2013, but more than the
8 2015 base forecast. And that might give us some
9 indication.

10 As far as the Mesa Loop-In potential delay, as
11 Chair Weisenmiller sais, we're hopeful there won't be a
12 delay, but if there is we may need to start looking at some
13 potential mitigation action there as well. But hopefully
14 we'll get that decision out by the end of this year and
15 everything will be on track. So we'll see how it goes.

16 MR. TISOPULOS: Yeah. I found the workshop
17 extremely informative. And I'm glad we are here. But it
18 looks like we may be running out of time with some of the
19 signals that we are getting out there. There are some
20 potential solutions.

21 We have really zero time for error here. So we
22 have -- all agencies have to coordinate their activities
23 and if there is a need to further discuss the feasibility
24 of some of the scenarios or options at the table, we are
25 going to be there to be true partners and see how we can

1 work best together. Certainly we need to harmonize and
2 coordinate our activities here.

3 MR. BISHOP: Yeah, I made my comments before
4 public comments. So thank you.

5 CHAIRMAN WEISENMILLER: Great. Well, again, I
6 want to thank all the other agencies for their
7 participation today. This has been a real team work
8 effort. Certainly, I want to thank the staffs for their
9 hard working analysis and for organizing the workshop.
10 Thank you to anyone who has participated in it. I look
11 forward to your public comments on September 12th.

12 And I think obviously one of the things, which we
13 all need to do some thinking about is we're looking -- as I
14 said we're sort of marching through what we had in the
15 SONGS plant, some of which (indiscernible) Sycamore-
16 Penasquitos we launched -- actually before SONGS was
17 announced it was just gone, you know, as sort of a
18 contingency measure.

19 So again trying to get those over the finish
20 line, but also I think all of us need to think some about
21 how this interacts with Aliso. And you know I mean we have
22 our sort of silos of crisis and somehow in the real world
23 they do interact. And so that's one of the things going
24 forward. We need to do some consideration of those
25 interactions.

1 So anyway, again thanks everyone for being here.
2 And this meeting is adjourned.

3 (Whereupon, at 4:07 p.m., the workshop
4 was adjourned)

5 --oOo--

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 6th day of April, 2016.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of September, 2016.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of September, 2016.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852