

## DOCKETED

<b>Docket Number:</b>	17-IEPR-14
<b>Project Title:</b>	Existing Power Plant Reliability Issues
<b>TN #:</b>	217616
<b>Document Title:</b>	Transcript of 04/24/2017 Joint Agency IEPR Workshop on Risk of Economic Retirement for California Power Plants
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	5/16/2017 1:17:00 PM
<b>Docketed Date:</b>	5/16/2017

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of, )  
 ) Docket No. 17-IEPR-14  
 )  
2017 Integrated Energy Policy )  
Report (2017 IEPR) )

**JOINT AGENCY IEPR WORKSHOP ON RISK OF  
ECONOMIC RETIREMENT FOR CALIFORNIA POWER PLANTS**

CALIFORNIA ENERGY COMMISSION  
FIRST FLOOR, ART ROSENFELD HEARING ROOM  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

MONDAY, APRIL 24, 2017

10:00 A.M.

Reported By:  
Kent Odell

## APPEARANCES

Chair Robert B. Weisenmiller, California Energy  
Commission

Commissioner Janea Scott, California Energy Commission

Rachel Peterson, California Public Utilities Commission,  
Chief of Staff to Liane Randolph

Commissioner Liane Randolph, California Public Utilities  
Commission

Tom Doughty, Vice President Customer and State Affairs,  
California Independent System Operator

CEC Staff Present

Heather Raitt, Integrated Energy Policy Report (IEPR)  
Program Manager

Presenters/Panel Members Present

Sylvia Bender, California Energy Commission

Michele Kito, California Public Utilities Commission

Greg Cook, California Independent System Operator

Neil Millar, California Independent System Operator

Melissa Jones, Panel Moderator, California Energy  
Commission

Greg Blue, Cogentrix

Mark Smith, Calpine

Brian Theaker, NRG Energy

Paul Cummins, Wellhead

Eric Little, Southern California Edison (SCE)

## APPEARANCES (CONT.)

Presenters/Panel Members Present

Vic Kruger, San Diego Gas & Electric (SDG&E)

Joe Lawlor, Pacific Gas & Electric (PG&E)

Jim Gill, Pacific Gas & Electric (PG&E)

Ross Gould, Sacramento Municipal Utility District (SMUD)

Also Present

Steven Kelly, Independent Energy Producers Association

## INDEX

	Page
Introduction	
Heather Raitt, IEPR Program Manager	5
Opening Comments	
Chair Robert B. Weisenmiller, California Energy Commission	6
Commissioner Janea Scott, California Energy Commission	11
Commissioner Liane M. Randolph, California Public Utilities Commission	
Tom Doughty, Vice President, Customer and State Affairs, California Independent System Operator	9
Rachel Peterson, Chief of Staff to Liane Randolph, California Public Utilities Commission	10
Background: Joint Agency Roles	
Sylvia Bender, CEC	11
Michele Kito, CPUC	14
Neil Millar, California ISO	37
Greg Cook, California ISO	51
Panel Discussion: Potential Solutions	65
Melissa Jones, Moderator	
Greg Blue, Cogentrix	66
Mark Smith, Calpine	71
Brian Theaker, NRG Energy	75
Paul Cummins, Wellhead	78
Eric Little, Southern California Edison (SCE)	81
Vic Kruger, San Diego Gas & Electric (SDG&E)	87
Joe Lawlor and Jim Gill, Pacific Gas & Electric (PG&E)	88
Ross Gould, Sacramento Municipal Utility District (SMUD)	92
Public Comments	149
Closing Remarks	153
Adjournment	157
Reporter's Certificate	158
Transcriber's Certificate	159

## P R O C E E D I N G S

1  
2 APRIL 24, 2017

10:00 A.M.

3 MS. RAITT: All right, shall we go ahead and get  
4 started? Okay. Good morning, everybody. We're going  
5 to go ahead and get started, so if you could please take  
6 your seats.

7 Good morning and welcome to today's Joint Agency  
8 IEPR Workshop on the Risk of Economic Retirement for  
9 California Power Plants.

10 I'm Heather Raitt, the Program Manager for the  
11 IEPR. I'll quickly go over housekeeping items.

12 If there's an emergency, please follow staff to  
13 Roosevelt Park, which is diagonal to the Energy  
14 Commission.

15 Today's workshop is being broadcast through our  
16 WebEx conferencing system and so parties should be aware  
17 you're being recorded. We'll post an audio recording in  
18 about a week and a written transcript in about a month.

19 At the end of the day, there will be an  
20 opportunity for public comments, and we will limit  
21 comments to three minutes per person.

22 For those in the room, who'd like to make a  
23 comment, at the end of the day just fill out a blue card  
24 and you can give it to me. And for WebEx participants,  
25 you can raise your hand and let our coordinator know

1 you'd like to make comments at the end.

2 Materials for the meeting are at the entrance  
3 and posted on our website.

4 Written comments are welcome and due on May 8th.

5 And with that, I will turn it over to the Chair.

6 Thank you.

7 CHAIR WEISENMILLER: Thank you. I'd like to  
8 thank everyone for being here today, particularly  
9 reaching out to both my fellow agencies and, of course,  
10 Commissioner Scott.

11 But anyway, I think this is a good time to have  
12 this meeting today. What we want to look at is  
13 basically the -- let's see, I'm not sure it's the risk  
14 of retirement but, basically, what's coming up in terms  
15 of retirements on our power system.

16 I think, generally, people understand that our  
17 reserve margins are high, from either a planning or  
18 operational basis. But location and characteristics  
19 really matter. It would be as if someone was looking  
20 for a three-bedroom apartment in Los Angeles, and we  
21 said, well, we have lots of one-bedroom in Sacramento,  
22 what's the problem. You know, location is really  
23 important on the grid stuff.

24 And, obviously, one of the things the ISO does  
25 is help on the locational stuff. But you really need

1 both -- you need plants with the right characteristics,  
2 in the right location.

3           You know, having said that, again, as we do the  
4 transition to fewer plants, one of the things that's  
5 going to be important is to try to make sure that the  
6 ones we need to stick around stick around, and the ones  
7 we need to be gone are gone.

8           You know, I remember when we had the -- FERC had  
9 the capacity market hearing, workshop in Sacramento. At  
10 that point, we and they were assured that the PUC and  
11 the utilities could use the bilateral contract system to  
12 keep the flexible, new, efficient plants around, and at  
13 the same time get rid of the less efficient, older  
14 plants. And, so, part of this is the reality check on  
15 where do we stand?

16           Obviously, this is an interesting year to have  
17 the conversation. We've switched from drought to high  
18 hydro, so that I think last year we had probably about  
19 10,000 gigawatt hours of hydro, at last in Northern  
20 California. Who knows if we get to 40 or 50,000 this  
21 year. Which means that we're going to have lots of  
22 periods of renewable curtailment, of lots of negative  
23 price periods.

24           And that, certainly, again, looking forward, as  
25 we add more and more renewables, the result is going to

1 be that wholesale power market prices are going to go  
2 down. Which anyone who has generating assets is going  
3 to see their revenue decrease, unless they can figure  
4 out ways of maximizing the value.

5 Remember a couple of years ago, I was told by  
6 Bonneville that they had seen their revenues drop by 20  
7 or 30 million that year, which they were attributing to,  
8 basically, the lower wholesale power market prices. So,  
9 obviously, one of the things Bonneville is really doing  
10 at this point is trying to figure out how to enhance the  
11 value of their generation, by trying to get it into  
12 higher value periods, and to get into providing more  
13 services.

14 So, I think part of their message is that we're  
15 certainly starting a new day. You know, I expect to see  
16 more and more retirements, frankly. But that's the good  
17 news, in a way, and we just have to make sure that we  
18 have stuff remaining in the right locations, and with  
19 the right operational characteristics. You know, we  
20 certainly want to keep very efficient, very flexible  
21 units in the right locations. And others it's not  
22 obviously why are you still around?

23 So, anyway, thanks everyone for being here.

24 Tom?

25 VICE PRESIDENT DOUGHTY: Well, Chair, thank you.

1 And to my fellow dais members, thank you.

2 Chair, you covered most of the topics that I  
3 wanted to touch on. But I wanted to make note of  
4 something that occurred just this weekend. And those of  
5 us who follow our app, or our website, probably know  
6 this.

7 We hit, on the ISO grid, our lowest ever net  
8 load number this weekend, about 9,165 megawatts. What  
9 does that mean? What's the context of that? Well,  
10 remember when we released the duck curve four years ago,  
11 we thought in 2020 that we'd get down to about 12,000  
12 megawatts. Here we are, now, in 2017 at 9,100  
13 megawatts.

14 So, you can picture this duck getting thicker  
15 and thicker, as more and more renewables are added to  
16 the system.

17 And as you mentioned, Chair, prices are low or  
18 negative across very wide spreads of our day, now.  
19 Units with marginal costs, that are higher than zero are  
20 dropping back out of that market, and they are being put  
21 into a position of revenue insufficiency.

22 Now, the ISO has had a series of meetings with  
23 generators, who've approached us, representing these  
24 challenging circumstances. And what's been missing for  
25 us is a durable, structured process for engaging in

1 these conversations, for prioritizing, for analyzing in  
2 a consistent way.

3 Neil Millar, of our shop, does a tremendous  
4 job, and his team, analyzing each of these plants that  
5 comes to the door with these challenges. What we need,  
6 now, is a process that makes this more of a predictable  
7 and durable exercise.

8 So, we're here, today, to offer our views on the  
9 challenges that these economic retirements represent  
10 and, of course, to learn from people in the audience of  
11 how we might do this better. So, thank you, again.

12 MS. PETERSON: Thanks Chair, and thanks Tom, and  
13 Commissioner. My name is Rachel Peterson. I'm not  
14 Commissioner Randolph. I'm her Chief of Staff. And she  
15 has -- the Commissioners are holding a closed session  
16 this morning, so she apologies, but she will be here  
17 shortly after 11:00, I believe. It was kind of an  
18 unstoppable force and an immovable object. We couldn't  
19 have her be in two places at the same time.

20 And, so, I won't make very many substantive  
21 remarks because I know she'll be asking questions and  
22 learning throughout the day, too.

23 But just to say that our office is assigned the  
24 resource adequacy proceeding, the long-term integrated  
25 resource planning proceeding, as well as a number of

1 transmission projects. And, so, through those  
2 proceedings we certainly learn from probably some of the  
3 same representatives about the reliability and the risk  
4 of retirement situation in California.

5 I think it's great that this workshop is  
6 happening with all three agencies present, because it is  
7 our three agencies that really have to work together to  
8 try to ensure liability for California. And we just  
9 look forward to the day, to learning and discussing.  
10 Thank you.

11 COMMISSIONER SCOTT: Good morning. I just want  
12 to say thank you so much to our colleagues from our  
13 sister agencies for being here this morning. And thanks  
14 to everyone who will be participating in the workshop.  
15 It's a great opportunity for me to listen and learn, so  
16 I'm glad to be here.

17 MS. RAITT: Great. So, this morning we start  
18 off with presentations on joint agency roles. And,  
19 first, is Sylvia Bender from the Energy Commission.

20 MS. BENDER: Good morning, Chair Weisenmiller,  
21 Rachel for Commissioner Randolph, Commissioner Peterson  
22 and Vice President Doughty.

23 I'm Sylvia Bender, the Deputy Director of the  
24 Energy Assessments Division here, at the Energy  
25 Commission.

1           This joint agency workshop is one of two  
2 workshops that will be exploring electricity system  
3 reliability issues, as California further reduces its  
4 greenhouse gas emissions by integrating greater amounts  
5 of renewable, variable resources.

6           On May 11th, we'll have another joint workshop  
7 on the operational aspects that will address the  
8 increasing need for flexibility on both the supply and  
9 demand sides, and potential options to address peak  
10 shifts and growing ramping needs. Such as demand  
11 response, time of use retail rates, storage, and  
12 expanded western energy imbalance market, or regional  
13 grid, and new ways of using excess renewable generation.

14           Today, our topic is the risk of retirement, for  
15 economic reasons, by gas-fired, hydro, wind,  
16 cogeneration, and geothermal resources, or what  
17 economists might call a missing money problem.

18           This has several potential consequences. In the  
19 short run, the viability of existing facilities needed  
20 to keep the grid stable is threatened as renewables put  
21 downward pressure on wholesale prices.

22           In the longer run, it may preclude investments  
23 in the types of resources that can provide the  
24 flexibility attributes required for reliable service.

25           Our agenda for today begins with presentations

1 by Michele Kito, from the Public Utilities Commission,  
2 followed by Greg Cook and Neil Millar, of the California  
3 Independent System Operator. Each will discuss recent  
4 work by their agencies on these issues.

5           Following this, this afternoon, a panel of  
6 generation owners, and utilities will provide their  
7 perspectives in a moderated discussion focused on four  
8 topics. The issues facing different types of generation  
9 resources at risk of retirement. Local reliability  
10 needs. How to value the changing generation attributes  
11 and performance needed? And possible market or  
12 regulatory approaches and solutions.

13           As California's electricity system evolves,  
14 resources that can be depended upon to quickly and cost  
15 effectively ramp up or down, or provide other grid  
16 services to help maintain system and local reliability  
17 become more valuable.

18           Flexibility is needed to compensate for hourly  
19 changes in variable renewable generation and demand, as  
20 well as seasonal variations in hydro power.

21           Given the evolving environmental regulation and  
22 increasing amounts of renewable generation capacity, the  
23 Energy Commission anticipates that older, less-efficient  
24 power plants will continue to retire as they find it  
25 increasingly difficult to recover their costs. And that

1 the Commission will need to identify and plan for any  
2 upcoming retirements.

3 Similarly, the Energy Commission will identify  
4 any local regions of the grid that may require  
5 preservation of existing generation or other electrical  
6 service needed to maintain overall system reliability.

7 Today's workshop discussion, and your written  
8 comments, will contribute to informing our subsequent  
9 Energy Commission analyses, and eventual policy  
10 recommendations that will appear in the 2017 Integrated  
11 Energy Policy Report.

12 So, I will turn it over, now, to Michele Kito.

13 MS. KITO: Hi, everyone. My name is Michele  
14 Kito and I'm a Supervisor of Resource Adequacy and  
15 Procurement Oversight. And today I'm going to cover  
16 four major topics.

17 The first thing is I want to talk about the  
18 CPUC's current forward procurement requirements, which  
19 is RA program. Then, I'm going to talk a little bit  
20 about early economic retirement. Then, I want to talk  
21 about forward procurement and the uncertainties and  
22 challenges associated with it. The, finally, I want to  
23 end talking a little bit about the tradeoffs between  
24 reliability, costs, and I also want to talk about the  
25 changing structure of the grid.

1           So, the CPUC's Resource Adequacy Program, as  
2 many of you know, developed in response to the 2001  
3 energy crisis. The initial program was implemented in  
4 2006 and those were system requirements. Local  
5 requirements were added in 2007. And I'll talk about  
6 these in future slides. The flexible capacity  
7 requirements were added in 2015.

8           The purpose of the RA program is to ensure that  
9 we have, the CPUC jurisdictional load serving entities,  
10 LSEs, have sufficient capacity to meet the peak load,  
11 usually that's an August peak load, with 15 percent  
12 planning reserve margin. It's also to ensure that we  
13 have resources in local areas for reliability. And,  
14 finally, that we have flexible ramping resources  
15 associated with renewable integration. As you all know,  
16 it's a one-year forward requirement, or many of you  
17 know.

18           So, this is just a map, a little bit out of  
19 date, of CPUC jurisdictional LSEs, and CAISO. So, the  
20 yellow is the CAISO area. The other areas are non-CAISO  
21 areas. The CPUC jurisdictional LSEs compose about 90  
22 percent of the load in CAISO. There are currently 26  
23 load-serving entities that we regulate. There are three  
24 investor-owned utilities. There are eight community  
25 choice aggregators. And there are 15 electric service

1 providers.

2           So, the purpose of this slide is just to show  
3 you the growth in CCAs. This is based on the 2014 year  
4 ahead load forecast. And also, then, based on the 2017  
5 August revised load forecast that we get from the CEC.

6           So, you can see in 2014, IOUs were serving about  
7 90 percent of the CPUC jurisdictional load. The ESPs  
8 were about 10 percent, and the CCAs at that point in  
9 time were less than 1 percent.

10           Fast forward to 2017. IOUs now represent about  
11 85 percent of the load. ESPs are still around 9 or 10  
12 percent, but you can see the growth in CCAs. So, for  
13 this coming August, as of right now it's about 6  
14 percent.

15           So, this is just a quick overview of the  
16 resource adequacy requirements. There's a system and  
17 this is based on a monthly forecast of a 1-in-2 weather  
18 year, with a 15 percent planning reserve margin. The  
19 local requirements are determined annually by CAISO, and  
20 they're adopted by the CPUC. And these are based on a  
21 1-in-10 weather year, as well as a N minus 1 minus 1,  
22 which we'll go over in the next couple of slides.

23           Finally, the flexible capacity requirement is  
24 also based on a CAISO study and it's determined monthly.  
25 And it's based on the largest three-hour net load ramp,

1 with some additional adders.

2           So, I think that this is a helpful graph to give  
3 you a sense of the system requirements and also to show  
4 you the kinds of resources that are under contract for  
5 the CPUC's RA program. This isn't the entire RA  
6 program, but just that are regulated by the CPUC.

7           So, the very bottom line we aggregated a number  
8 of resources. So, this is biomass, geothermal, hydro,  
9 import, nuclear and CHP. We combined a lot of these for  
10 confidentiality reasons. We have, usually, a rule of  
11 three. So, if there's only one person having nuclear,  
12 we don't like to show that.

13           So, anyway, you can see the yellow. The orange  
14 is natural gas in the RA fleet. And you can see that  
15 this is pretty much the largest component of the RA  
16 system. The red is demand response. Wind is the blue.  
17 And at the top is solar.

18           A couple of important points to note is that for  
19 RA system resource purposes, we don't use very much  
20 solar in the winter, and that's because of the way we  
21 determine the MQC, which is based on assessment hours.  
22 So, the assessment hours in the winter are later in the  
23 day, so the MQC is very much lower.

24           And wind is also based on those assessment  
25 hours, and those are usually during the day. Wind is

1 often producing during the night. So, this is the RA  
2 fleet for 2016.

3 So, just to talk a little bit about the local  
4 capacity requirements. This is based on an annual LCR  
5 study. It's based -- as I said before, it's a 1-in-10  
6 weather year. And it's also an N minus 1 minus 1  
7 contingency. So, imagine a very hot day, and imagine  
8 two very large things going wrong. The loss of two  
9 transmission lines. So, what you want are resources in  
10 the local areas to serve load under those circumstances.

11 This study is adopted annually by the CPUC. So,  
12 you can see that there are ten local areas. For the  
13 CPUC's purposes, we only -- we aggregate into five  
14 areas. So, we have Bay Area, other PG&E areas, L.A.  
15 Basin, Big Creek, Ventura, and San Diego. That should  
16 be San Diego IV.

17 So, why do we have five areas, if there are ten  
18 local areas? So, in PG&E's service territory, six of  
19 the local areas are combined into PG&E other areas to  
20 address market power concerns. So, those six areas that  
21 are combined are Sierra, Fresno, Humboldt, North Coast,  
22 Stockton, and Kern local areas.

23 This is just a note about how we allocate the  
24 local requirements. It's based on load share ratios,  
25 August load ratio shares. It is not based on where the

1 LSE has load. So, you would still have a Bay Area  
2 requirement if you're in the PG&E TACK area, even if you  
3 weren't serving load in the Bay Area.

4 So, I just wanted to show the 2017 local  
5 capacity requirements. I think this is a really helpful  
6 chart. On the top we have the total LCR for each of the  
7 ten areas. We also have the 1-in-10 peak load. You can  
8 see you have LCR has a percentage of peak load. You  
9 also have dependable area, dependable capacity in the  
10 area. And, then, you have LCR as a percent of the total  
11 area resources.

12 So, you can see in some areas the requirement is  
13 almost all of the resources. You can see Stockton and  
14 Sierra, for example. I'm sure the CAISO will talk about  
15 this, but not only are there -- for CPUC purposes, we  
16 only require that resources are shown in the local area,  
17 but there are also sub-area restrictions that it would  
18 be better if they were met.

19 Okay. So the last column is also important  
20 because it gives you an indication of the resources that  
21 are able to meet the LCR needs in those areas.

22 Okay. So, turning to the flexible requirements.  
23 These are the 2017 flexible requirements. I won't go  
24 into the buckets. But the point being here that the  
25 flexible needs are greater in the winter, in the spring,

1 and not so great in the summer. And we'll go into that  
2 a little bit on the next page.

3 So, these are net ramps by season. So, the top  
4 one is -- net load ramps -- the top one is the summer.  
5 And you can see, at least in this picture, it's kind of  
6 a gentle slope. So, the net load ramp is not as steep.  
7 But, alternatively, if you look down at the bottom,  
8 that's April 14th, you can see that the net load ramp is  
9 a little bit steeper.

10 So, in the summer you need more overall  
11 resources, but possibly less flexible resources.  
12 Alternatively, in the spring you might need fewer  
13 overall resources, but more flexible resources.

14 So, we just bring up this point to say that the  
15 needs differ by season. They aren't uniform all year  
16 round.

17 I also wanted to show this slide. This is about  
18 the net load ramp drivers. And the point that I wanted  
19 to make here is it's not always solar PV that's  
20 contributing to the net load ramp. So, if you look at  
21 January and December, for example, the contribution of  
22 load is about 50 percent of the net load ramp. And the  
23 contribution of solar PV, with the behind-the-meter, at  
24 least in January, is about 50 percent. And in December  
25 it's a little over 50 percent.

1           Alternatively, if you look at the spring, you  
2 can see that the solar PV production is really driving  
3 the net load ramp. So you can see in May, load is  
4 contributing about 24 percent. Solar, in front of the  
5 meter and behind the meter is contributing about 75  
6 percent.

7           So, putting all those requirements together, I'm  
8 going to show a couple of graphs. So, these are the  
9 2016 RA requirements for CPUC jurisdictional LSEs. The  
10 first bar is load, it's the load forecast that we get  
11 from the CEC. It's a monthly forecast. The red bar is  
12 the CPUC requirements. So, you can see that  
13 incorporates a 15 percent planning reserve margin. The  
14 green bar is the local requirements. And the local is a  
15 year-round requirement, so it's the same all year round.  
16 The purpose are the flexible requirements. And, again,  
17 you can see that they're larger in the winter and spring  
18 and much smaller in the summer.

19           We also just wanted to note, at least for CPUC  
20 jurisdictional LSEs, we bundle these products. So, if  
21 we have the flexible attribute, we also have to count  
22 the system attribute. Likewise, if we have the local  
23 attribute, we also count it toward system. So, these  
24 are not additive, they are subsets of the system  
25 requirement.

1           So, these are the 2017 requirements. You can  
2 see the load forecast has gone down somewhat. So, the  
3 August peak requirement here is 47,587. Again, the  
4 first one is the load forecast. The second one includes  
5 the planning reserve margin. The third is the local,  
6 year-round requirement. And, fourth, the purple is the  
7 flexible requirements. They've increased, you can see,  
8 but still the seasonal pattern stays about the same.

9           So, every year we do an RA price report.  
10 Sometimes we're early, sometimes we're late. This year,  
11 we're going to try to be early. So, this is some of the  
12 preliminary data that we have. And we circled the one  
13 that we're going to focus on.

14           You can see, the one that I'm just going to  
15 highlight right here is the weighted average price of  
16 dollars per KW month. It's about \$3.10. You can see  
17 that capacity, and this is just for RA capacity, it  
18 doesn't include tolling arrangements, and it doesn't  
19 include long-term contracts.

20           So, you can see that the prices in the north are  
21 less expensive than the south. You can see that that  
22 pattern continues to be the same for local RA capacity.  
23 Strangely, it changes for system, but I'm not exactly  
24 sure why that is right now. We have to put this out  
25 next month, with the RA report.

1           So, I just want to talk a little bit about  
2 costs. So, how much does this cost? So, if you use  
3 \$3.10, which is the average RA price, and using 2016  
4 requirements, that's about \$1.5 billion annually.  
5 Alternatively, if you use the CPM, the capacity  
6 procurement mechanism, there's a soft offer cap, and the  
7 soft offer cap is \$6.31 kW a month. Applied to the 2016  
8 requirement -- sorry, there we go. Applied to the 2016  
9 monthly requirements, it translates to about \$3 billion  
10 annually.

11           And using CONE, which is the cost of new entry,  
12 at \$14.00 kW a month, that translates into about \$6.5  
13 billion annually. So, for CONE we used the figure in  
14 the 2015 CAISO report, which relies on CEC data. So,  
15 there's nothing magical about this.

16           The cost, the annual levelized cost for CTs and  
17 CCs were estimated to be 165 a kW year and 175 a kW  
18 year, so I just used 170 there.

19           So, the point of this is to say that we don't  
20 pay everyone our -- the RA price, and we also don't pay  
21 everyone CONE. So, the amount is somewhere in between.

22           The other point to make is that this is for  
23 capacity, only. This isn't for energy. So, these are,  
24 you know, someplace between 1.5 and 6.5 is what we pay  
25 for capacity every year.

1           So, I'm going to turn to talk a little bit about  
2 early economic retirement. Just wanted to note that we  
3 have been here before. We opened the Joint Reliability  
4 proceeding, in 2014, to consider policy proposals to  
5 refine California's existing reliability framework.  
6 And, also, to assure that the framework adapts, as  
7 needed to meet the changing requirements of the grid.

8           So, we would note that this proceeding was  
9 closed in 2016. And the primary reason that it was  
10 closed was that the development of a permanent flexible  
11 capacity issue was scoped into the RA proceeding, and it  
12 was determined that that effort needed to be finalized  
13 before a two- or three-year RA program requirement can  
14 be determined.

15           So, the reason for that is that we are -- we do  
16 have a grid that's changing, and we are trying to figure  
17 out which are the right resources to have under  
18 contract. You don't want to go forward with contracts  
19 that turn out to not meet those requirements in the  
20 future, so that would strand some capacity.

21           That decision also ordered the Energy Division  
22 to gather and disseminate information regarding expected  
23 resource availability and forward contracting for such  
24 resources, and to make that information available to the  
25 public.

1           The issues regarding long-term, let's see,  
2 multi-year RA were also moved into the CPUC's RA  
3 proceeding. And I put the number there because it's  
4 easier for us to follow.

5           So, I just wanted to make a point about planned  
6 versus unplanned retirements. There are significant  
7 planned retirements that are expected between now and  
8 the beginning of 2022. And you can see these are the  
9 once-through cooling units. I would also note that  
10 Diablo Canyon, which is another 2,000 megawatts, is  
11 expected to retire in 2024 and we're starting to plan  
12 for that, now.

13           Some of these resources had indicated that they  
14 are going to retire earlier than the once-through  
15 cooling dates, and those include Pittsburgh and Moss  
16 Landing. But in total, this is 9,380 megawatts.

17           So, with regard to the planned retirements, the  
18 CPUC and the ISO have been working to address these  
19 issues. In the, I believe it was the 2012 LTPP, the  
20 CPUC authorized additional procurement to address local  
21 reliability needs, particularly in the Southern  
22 California Region. So, we have addressed that and we  
23 have authorized additional procurement to replace some  
24 of these retiring units.

25           So, turning to Energy Division's data collection

1 efforts, we issued a report in the fall of 2016  
2 regarding contracting. We also issued new data requests  
3 in 2017, and we've received responses just recently on  
4 forward contracting practices of the IOUs, the CCAs, and  
5 the energy service providers. We're currently in the  
6 process of analyzing that data, but we're going to give  
7 some preliminary results and discuss them.

8           So, this is going back a little bit. These were  
9 the results that we showed in the fall, but it was based  
10 on October 2015 data. So, it was a little dated at that  
11 point in time, but we just wanted to show that we do  
12 forward contracting. The utilities have utility-owned  
13 generation. And you can see the green bar is the  
14 forward contracted capacity.

15           The other issue is on a system level, at least  
16 as of now, we do have additional resources to contract  
17 with.

18           So, these are some of the preliminary results  
19 from the data we just received. This is from the system  
20 perspective. So, the red dotted line is the load  
21 forecast. The black line would be the requirement,  
22 which would be based on load plus the 15 percent  
23 planning reserve margin.

24           So, you might look at 2017 and say, hey, we're  
25 not meeting our requirements. But as you recall, our

1 forward requirement is 90 percent of the 115, and the  
2 year ahead, and then it's only the month ahead that they  
3 have to meet the 100 percent of the 115 percent of load  
4 requirement.

5 So, you can see, again, we do have utility-owned  
6 generation and we do have long-term contracts. Most of  
7 those represented in green, over time.

8 So, these are for the local areas. This is for  
9 -- based on the current data. What we have done here is  
10 we have aggregated all the regions in the north. So,  
11 for 2017 it looks like we have sufficient capacity.

12 And I should say a note about the forecasted RA  
13 requirements. The CAISO usually does a midterm local  
14 assessment. So, for example, in 2013 they would go  
15 forward -- no, the 2018 that are the requirements that  
16 are in their draft final. For 2019, those would have  
17 been developed in 2015. For 2020, it's a five-year  
18 forward. So, you can see they change year to year a  
19 little bit.

20 So, it looks like we probably -- so, from this  
21 graph it looks like we probably have capacity under  
22 contract in the north. But since we've aggregated so  
23 many regions, this would hide any over-capacity  
24 procurement in some local areas and under-capacity in  
25 others. But on the whole, yeah, we've got it there.

1           We've done the same, we've aggregated the south.  
2 Here, we've aggregated L.A. Basin, Big Creek, Ventura,  
3 and San Diego IV. So, you can see that we have  
4 sufficient capacity, in 2017, in the local areas. 2018,  
5 it looks okay. But recall that since I've aggregated --  
6 since we've aggregated the regions you could have  
7 additional resources in one particular area, but you  
8 could still be deficient in others.

9           So, the reason we've aggregated these is due to  
10 market power concerns. I know a number of parties have  
11 raised issues about providing additional granularity,  
12 and we will consider it and talk about it some more.  
13 But we really do need to ensure that we are not  
14 exacerbating any market power concerns and, also, that  
15 we're ensuring confidentiality to the extent required by  
16 our rules.

17           So, just turning to forward procurement,  
18 uncertainties and challenges. So, there are -- I've  
19 sort of categorized these into system, local and  
20 flexible uncertainties.

21           So, with regard to system RA, there's always  
22 load forecast uncertainty. So, this would be your  
23 forecast of the economic conditions. It would also be  
24 your forecast of the solar PV and energy efficiency  
25 penetration.

1           So, for example, in 2013, or 2015 forecasting  
2 2018 load, it's probably going to look different than if  
3 we forecast as we forecast 2018 load this year. So,  
4 there's forecast uncertainty.

5           There's also load migration. So, you might have  
6 load three years ahead, but you might lose load or gain  
7 load in the intervening years. So, we just raise that  
8 issue.

9           So, with regard to local RA, there's similar  
10 concerns. Remember, this is based on a load forecast  
11 for a 1-in-10 weather year, and that's going to change  
12 over time based on economic growth. Also, based on  
13 solar PV, and energy efficiency penetration, as well as  
14 considerations of peak shifting issues, which the CAISO  
15 has raised.

16           It's also going to change the local requirements  
17 depending on the contingencies. So, you might identify  
18 the worse things that are going to happen. So, the very  
19 hot day and two things going on, but that could change  
20 over time. So, due to the changing topology of the  
21 grid, or just additional information, that might not be  
22 as steady as you think it is.

23           Again, load migration. So, you might be serving  
24 load in that particular area, but you may gain or lose  
25 that over time.

1           Finally, I just want to say that you could have  
2 -- I think I mentioned changes in topology of the grid.  
3 But local area boundaries can change. So, this doesn't  
4 happen often, but to the extent it does, you could be  
5 procuring, potentially procuring the wrong resources.  
6 So, if the requirement were 5,000 megawatts, but the  
7 boundaries changed and it's now 6,000 megawatts, you  
8 might put the wrong resources under contract. So, we  
9 definitely need to consider that.

10           So, with regard to flexibly RA, what are the  
11 uncertainties? Well, one issue is what resources do we  
12 actually need to integrate variable resources? And we  
13 are working on that in FRACMOO, as well as the RA  
14 proceeding. So, the question is, which uncertainty do  
15 we want to address? Is it the minute-by-minute  
16 uncertainty? Is it the day-ahead ramp? So, I think  
17 these are the things that we're trying to identify at  
18 this point in time.

19           The other thing to note is that the durable  
20 flexible product has not yet been developed. So, to the  
21 extent that you want a forward contract and the product  
22 changes, you could strand some procurement.

23           So, finally, I just want to talk about  
24 reliability cost and the changing structure of the grid.  
25 So, I like to remind myself of what we're aiming for

1 here. And from the PUC's perspective, we are trying to  
2 ensure safe and reliable service at just and reasonable  
3 rates. This always requires consideration of both  
4 reliability and cost. The PRM is a very good  
5 illustrator of this. So, you could -- RPRM is 15  
6 percent planning reserve margin. You could have a  
7 higher planning reserve margin, but that would cost  
8 more. You could also have a planning reserve margin,  
9 likely cost less, but you are trading off reliability  
10 and costs.

11 I would also mention that we have a third thing  
12 that we're also aiming for, and that's GHG reduction.  
13 And, so, that has to be considered, as well, trying to  
14 balance all of those things.

15 So, as we think about forward procurement, I  
16 just want to mention that we want to keep in mind how  
17 the grid is changing. So, there is increasing  
18 penetration of renewables which is affecting the  
19 existing resources. But it's also going to affect the  
20 resources that we want to have under contract in the  
21 future.

22 I also want to mention the retirement of the  
23 OTCs. This is going to change how the grid operates,  
24 but it also might provide opportunities for resources  
25 that aren't under contract, as the OTC units retire.

1           I also want to mention gas supply issues. As  
2 you know, we have some gas supply issues in the south.  
3 And as we think about forward leads, we also want to  
4 keep in mind that we may need to take into consideration  
5 gas supply.

6           Finally, I just want to note what's on a little  
7 people's minds and that's the growth of CCAs. So, as  
8 CCAs grow, we will have to be thinking about how we do  
9 procurement and how CCA growth will affect procurement.

10           So, if you have any questions, my name is  
11 Michele Kito, and Jaime Gannon can also answer them as  
12 well. She worked with me on this and did a lot of the  
13 data analysis. Thank you very much.

14           CHAIR WEISENMILLER: Yeah, just a couple  
15 questions, Michele.

16           MS. KITO: Sure.

17           CHAIR WEISENMILLER: One is, under the current  
18 rules for -- how do they apply to CCAs or to ESPs for  
19 resource adequacy?

20           MS. KITO: Sure. So, they all of the -- the  
21 CCAs and ESPs have the same requirements for RA. They  
22 have to show system, local and flexible resources the  
23 same way the -- yeah, they all have the same reporting  
24 requirements to us. And we have enforcement authority  
25 to fine them, if they don't do so.

1           CHAIR WEISENMILLER: Great. And, also, in terms  
2 of just trying to figure out a little bit better how to  
3 figure out a little better on how to deal with the sort  
4 of market power issues versus reliability.

5           MS. KITO: Uh-hum.

6           CHAIR WEISENMILLER: Just from your sense, how  
7 different is the RA within these local areas? I mean,  
8 if you were to disaggregate, how bad or good would it  
9 look?

10          MS. KITO: Well, some areas are very small and  
11 very constrained. So, if you look at some of those  
12 areas, let's see, if I go back to, let's see -- so, if  
13 you look at Humboldt, for example, the LCR requirement  
14 is 157 megawatts. There is UOG. But you can see some  
15 of them are much smaller, so you might have market power  
16 concerns. Yeah. And, then, the other thing to add onto  
17 that is there are also sub-area requirements. And, so,  
18 we might not be needed -- we are needed for the local  
19 requirement, but you also might be needed for a sub-area  
20 requirement and those can be even smaller.

21          CHAIR WEISENMILLER: I guess part of the  
22 question, again, at a very high level, is just, you  
23 know, utility-owned generation, I'm assuming -- I don't  
24 -- again, looking at this outlay, some utility-owned  
25 generation, presumably, would deal with the market power

1 questions and other areas have lots of other resources.

2 MS. KITO: Yes, that's right. So, yes, some  
3 areas do have more utility-owned generation that could  
4 meet it, which would mitigate the market power concern  
5 somewhat, that's true.

6 CHAIR WEISENMILLER: Yeah. The last question  
7 was just thinking on the flexible, Tom had mentioned the  
8 under ten -- well, the 9,000, whatever, minimum  
9 generation, which is obviously one day out of the entire  
10 year when you're looking throughout the seasons.  
11 Looking at the Energy Commission forecast of, basically,  
12 behind-the-meter solar, it's pretty easy to look out,  
13 say, ten years and see like another 10,000 megawatts.  
14 So, basically, that would tend to be driving things to  
15 much greater ramps. I just want to figure out how that  
16 forecast is featured, you know, is being built into your  
17 thinking?

18 MS. KITO: So, a couple of points. So, yes,  
19 it's true. So, we did have a very low net load ramp.  
20 But remember, the -- I've been looking at these every  
21 single day. So, it appears to be that weekends are  
22 particularly difficult. Weekdays are a lot easier. It  
23 appears to be the wind and solar combined will lead to  
24 it. So, it's not an everyday phenomenon. It's true  
25 that we have very aggressive forecasts for behind-the-

1 meter PV. And I've also been looking at those monthly  
2 to see whether the revised rate structure is having any  
3 effect on the market.

4 So, the other thing to remember is that when you  
5 have additional behind-the-meter PV, it doesn't  
6 translate one for one. So, you have to know, if you  
7 have 10,000 megawatts of PV, how much does that  
8 translate into load. So, it's a complicated question.

9 I don't want to -- I don't think we want to -- I  
10 think we want to look at the entire 8760. So, I think  
11 it's important to keep in mind that the needs change  
12 throughout the course of the year and that we want to  
13 meet all the needs.

14 VICE PRESIDENT DOUGHTY: Michele, agreed, and  
15 thank you for that. As we look at the duck, and assess  
16 the trending that is taking shape going forward, the  
17 statement that these curtailments and these over-supply  
18 scenarios are manageable today, using curtailment for  
19 example, is true. One to two percent of renewable  
20 generation is currently being curtailed.

21 Where we're seeing the challenges, as we look  
22 ahead, and the trend lines are ramping. Just as the  
23 belly of the duck was ramping to become deeper, the rend  
24 lines in oversupply and curtailment are growing.

25 So, we see ourselves being at the precipice of a

1 highly challenging situation. But you're right, today  
2 it's being managed.

3           What we're trying to do, in the coming set of  
4 analyses we're performing now, is take a look at the  
5 duck over the 8760, and make sure we've shown the  
6 representative over-supply periods. Because there's  
7 going to come a time, relatively soon, when that's no  
8 longer just a spring phenomenon, it will start happening  
9 more and more prevalently across a wider, and wider  
10 range of the year. In fact, by 2030, we anticipate  
11 seeing over-supply most times of the year.

12           So, Chair, this is part of what I was trying to  
13 get to when we kicked off this morning is we believe  
14 we're sitting in the early stages of a tremendous  
15 planning horizon opportunity. We've just got to get our  
16 hands around what the trajectories are that we're  
17 planning to.

18           MS. KITO: Yeah, and I would like to say is that  
19 when the CAISO initially put out the series of duck  
20 curves, starting in 2014 to 2020, I recall that what  
21 we're planning for was 33 percent penetration in 2020.  
22 So, because of the ITC and acceleration of a lot of the  
23 solar assets, we are beyond 33 percent. So, it's not  
24 really surprising that we are seeing low net load. So,  
25 if you think of it in terms of what we've accomplished,

1 I think it is not surprising.

2 In terms of what we're going to see in the  
3 future, I do think we have to think about the build out  
4 trajectory and the effect of that. So, yeah.

5 CHAIR WEISENMILLER: Thank you.

6 MS. KITO: Thank you.

7 MS. RAITT: Thanks, Michele. So, next, we have  
8 a joint presentation from the California ISO, with Greg  
9 Cook and Neil Millar, starting with Neil Millar.

10 MR. MILLAR: Thank you. Thank you and good  
11 morning. So, the first thing I'd like to do is I have a  
12 few slides that really just enforce some of the concerns  
13 that we already talked about this morning, setting the  
14 stage for the actual analysis that we undertook.

15 So, just building on what we had heard about  
16 earlier, in terms of the risk of retirement, we see the  
17 potential there coming from a number of sources. The  
18 growth of renewables, obviously putting down the  
19 pressure on pull price. The rather fierce competition  
20 we see for any sort of long-term contract from  
21 generators that are approaching us, raising their  
22 concerns about retirement. And, of course, the  
23 anticipated shake out of the gas fleet, as we all  
24 recognize there will be some reduction of the gas fleet  
25 as we move forward.

1           Now, setting aside the once-through cooling  
2 generation, we're not really aware of a clear,  
3 coordinated process moving forward around which gas-  
4 fired generation, and when, will otherwise respond to  
5 certain economic pressures and retire.

6           So, an important question for us, on the  
7 infrastructure side is looking at what level of  
8 retirement does provide comprehensive reliable service  
9 and are the right resources leaving it in the right  
10 order.

11           So, in this graph I have just provided an  
12 overview of the generation fleet as it stands today, and  
13 both emphasizing the continuing growth of renewables, as  
14 well as the large role that solar energy is playing in  
15 the renewables.

16           In the upper right-hand corner we're also just  
17 showing the downward trajectory on overall market  
18 revenues available to other generation.

19           The one point I wanted to make, besides this  
20 being the one mandatory appearance of the duck curve in  
21 today's presentations from the ISO, which takes Greg off  
22 the hook, is that the one point I wanted to make on this  
23 graph is besides the resource characteristics changing,  
24 that everyone's very aware of, we also have to remind  
25 people that the resources that are carrying us through

1 the afternoon, being the renewables, are not physically  
2 in the same location as the other resources that are  
3 backfilling through the peak of the day, now, occurring  
4 in the 6:00, 7:00 time frame.

5 Now, that's important to us because besides  
6 managing system frequency, at a holistic level, we also  
7 have to manage grid reliability, keeping things within  
8 stability limits, voltage limits, as we manage the  
9 transition from one resource pool to another, and back,  
10 on a daily basis.

11 In looking at the overall risk to the system of,  
12 say, a material amount of unplanned retirement, we were  
13 looking at both the system side, as well as the  
14 transmission grid side. On the system resource side,  
15 obviously there's the concern with ramping capability,  
16 peak capacity, and maintaining sufficient capacity for  
17 that post-solar peak.

18 And in a number of parts of the system, the  
19 behind-the-meter solar generation has already shifted  
20 the peak load in some areas to periods outside of the  
21 conventional solar window.

22 Now, from a grid perspective, we're both looking  
23 at maintaining the local capacity needs, as well as  
24 exploring whether or not new reliability requirements  
25 would be building up in areas that weren't traditionally

1 identified as local capacity areas.

2           The other issue we have to consider is that much  
3 of the transmission system was built up around certain  
4 generators, and counting on them to be there, and they  
5 were incorporated into remedial action schemes for  
6 transfer capability, and so forth. So, we also need to  
7 explore what impact there might be on those  
8 arrangements.

9           So, in the 2016-17 transmission planning  
10 process, in addition to our tariff requirements and our  
11 mandatory standards requirements to conduct analysis, we  
12 also did a preliminary study looking at if a material  
13 amount of generation required, what were the  
14 consequences? How well prepared are we? And where are  
15 the areas where we should be applying additional focus  
16 to help mitigate the risk should this actually occur?

17           Now, we were looking at system wide resource  
18 needs, as well as the transmission grid needs. We were  
19 also looking beyond, as I said, to see if there were  
20 pockets of where, potentially, a larger number of  
21 similarly situated resources might be feeling the same  
22 economic pressure at the same time, and retire in an  
23 uncoordinated fashion.

24           And we've laid out all of the details and  
25 assumptions for that work, looking at a 50 percent RPS

1 scenario. We've laid out the details on our website, as  
2 part of the '16-'17 transmission plan. I won't try to  
3 walk through all of the underlying assumptions here, but  
4 the information's there for those that are interested.

5           The scope looked at the impacts on various  
6 transfer paths within California. We were also looking  
7 to see, test as I mentioned, for any impacts on our  
8 remedial action schemes, as well as to study the impact  
9 on the system level requirements for ancillary services  
10 and flexible requirements.

11           Now, we started looking at two different  
12 scenarios, by first looking at the drop off in market  
13 revenues available to gas-fired generation, as we move  
14 from a 33 percent scenario to a 50 percent scenario.  
15 And we identified the generators, in the various areas  
16 that we saw, at risk from purely those market signals.  
17 And, then, also took into account and shielded  
18 generators that were already receiving material  
19 compensation for ancillary services.

20           The second scenario that we looked at was to  
21 further reduce the amount of system -- or, increase the  
22 amount of system generation retirement, that could  
23 potentially occur, by transferring some of the ancillary  
24 service obligations that those units were helping with,  
25 to units that were already assumed to be protected

1 inside a local capacity area.

2 So, that resulted in an increase in the amount  
3 of potential retirement on the system basis, which is on  
4 the furthest right set of columns.

5 Now, we then conducted all of our traditional  
6 reliability analysis from a transmission grid  
7 perspective, looking for any challenges that were  
8 created. Not surprisingly, we did identify a few  
9 transmission issues. And we've listed those in the  
10 first three bullets.

11 The impact on remedial action schemes did have  
12 some impact on our north/south transfer capabilities  
13 through path 26. That showed up, in particular, in the  
14 sensitivity case that we looked at, modeling some  
15 retirement in the midway area. Now, at the same time,  
16 though, we were also seeing less transfer from north to  
17 south because of the generation retirements. So, a  
18 slight drop off -- sorry -- sorry about that. A slight  
19 drop off in north-to-south transfer capability isn't  
20 necessarily problematic, if we're also seeing lower  
21 north-to-south flows.

22 We also did identify some issues in the L.A.  
23 Basin area and, also, the Victorville Lugo transmission  
24 line, which has shown up in other transmission planning  
25 processes as needing some mitigation, also showed up

1 there as well.

2 Now, the bottom line, from a local capacity  
3 perspective, is that if the local capacity needs, as  
4 identified, are respected and managed, we really aren't  
5 seeing anything that's not manageable from a  
6 transmission grid perspective, as we looked at some  
7 fairly progressive retirement scenarios. That really  
8 helped validate that the local capacity areas being  
9 selected in the first place really did hit the target.  
10 So, that's the most important issue for us is ensuring  
11 that those needs continue to be respected.

12 Now, the area where we did see more of an issue  
13 was on the system wide requirements. And this is where  
14 we're backing away from the local issues and looking at  
15 the overall flexible needs, ramping needs.

16 And what we did there was we took our range of  
17 retirement scenarios and looked at six different  
18 increments of steadily increasing retirement, also  
19 assuming that the units that, in our screening, were  
20 identified as being more at risk were the ones to go  
21 first, even if they had the best characteristics that we  
22 would ideally need for ramping.

23 So, we were looking at this -- like I said,  
24 looking at this from the economic perspective of  
25 generators dropping off, without the benefit of any sort

1 of centralized, coordinated process.

2 Now, what we saw, and the results are spread  
3 over the two graphs here, we did always assume that in  
4 facing a capacity shortfall, that we would first see  
5 some reduction in load following capability, then non-  
6 spinning reserves, then spinning reserves, and that we  
7 protect regulating reserves basically last, and at all  
8 cost.

9 So, as we do see growing levels of retirement,  
10 we also see growing issues of cutting into load  
11 following needs, and then eventually progressing where  
12 we start having shortfalls on non-spinning reserves,  
13 spinning reserves and then, ultimately, regulating  
14 reserves.

15 Now, this graph is looking at the megawatt  
16 impacts of where we saw shortfalls. And the next graph  
17 is focusing on the number of hours where shortfalls  
18 started to occur. The results here are probably, for  
19 the level of uncertainties we're dealing with, it's a  
20 fairly wide range.

21 But our conclusion is, really, that between the  
22 four and six thousand megawatts of retirements, beyond  
23 the scheduled retirements, so this is in addition to OTC  
24 generation, and so forth, that between four and six  
25 thousand megawatts we start to see material issues

1 emerging in terms of being able to provide adequate  
2 frequency control and load following capability.

3           So, that's really the summary of our system  
4 resource finding. We do have to caution that the need  
5 for flexible capacity, especially during the downward  
6 ramping, that unlimited renewable curtailment may or may  
7 not be acceptable. But as long as we're allowing it, it  
8 does mask some of the capacity requirements that we  
9 would otherwise see.

10           So, that's an issue that we're really going to  
11 have to deal with on a more comprehensive basis is what  
12 level of renewable curtailment really is acceptable.

13           The shortfalls in load following and reserves  
14 were how we were reflecting capacity insufficiencies.  
15 They do generally occur in the early evening hours, when  
16 the solar output -- we said after sunset, but because of  
17 the angle of incidence on solar panels, it really  
18 doesn't have to wait until sunset for the solar panel  
19 input to drop off. But that's when we were seeing the  
20 most number of challenges.

21           And the last point I just wanted to reiterate is  
22 that somewhere between the four and six thousand  
23 megawatts of retirement is where we're really seeing the  
24 challenges start to grow, where that would be our  
25 threshold for where we're starting to get in trouble on

1 needing to retain additional resources.

2 So, that concludes the presentation, be glad to  
3 help.

4 CHAIR WEISENMILLER: Yeah, a couple questions.  
5 First is both your analysis and the PUC analysis assumes  
6 average hydro. And, obviously, we've seen in recent  
7 years sort of swings from droughts to this year. So,  
8 have you thought of doing scenarios at low and, you  
9 know, at those two extremes on the hydro system?  
10 Obviously, the gas plans are going to operate a lot less  
11 in high hydro years and a lot more in drought years.

12 MR. MILLAR: Yeah, so we've taken a look, we  
13 haven't dived into doing a lot of analysis on the range  
14 of scenarios, because we were seeing that more as an  
15 economic issue. From a conventional reliability  
16 perspective, or reliability issue less so, and more of  
17 an economic issue. In looking at the economic risk to  
18 the existing gas-fired generation fleet, that is an  
19 issue that would need more analysis, but we haven't  
20 looked at it, yet.

21 And I should clarify, from the infrastructure  
22 side, we were not really trying to say how much revenue  
23 these units needed, the gas-fired generation needed to  
24 survive. We were more looking for commonality and  
25 groups of like-situated resources that would be seeing a

1 drop off, on a relatively sustained basis.

2           So, that's something we can give some thought to  
3 in the future, but we're not trying to say this is how  
4 much should retire, it's where do we start to have  
5 problems.

6           CHAIR WEISENMILLER: Okay, I have a question.  
7 If you look at ERCOT and, obviously, they tend not to  
8 even use the California vocabulary, there they talk  
9 about not ducks, but dead armadillos. You know, that  
10 they've done a recent study on inertia, you know,  
11 certainly switching from coal, gas, or whatever, to  
12 18,000 megawatts plus, now, of wind. They were  
13 concerned on the inertia, although also one of the study  
14 results were that things were okay.

15           So, the question is how much have you been  
16 probing inertia?

17           MR. MILLAR: We've been studying the overall  
18 system stability issues and looking at the issues  
19 associated with the need for system inertia as part of  
20 our routine planning process, as well as in studying  
21 these 50 percent scenarios.

22           What we've seen is that, really, the inertia was  
23 there, and even traditionally the inertia was counted on  
24 in parts of California. Not so much for its stability  
25 performance, but also because it was all similar types

1 of generation, and it was also a convenient shorthand  
2 for how much governor response was out there.

3           We have been studying the situation. We haven't  
4 seen any dynamic stability issues that required a higher  
5 level of system inertia, beyond what I would say is a  
6 governor type response. And the governor type response  
7 can be provided by renewable generation if you're  
8 willing to back it off so that there's some head room.

9           So, we're not seeing a reliability threat there,  
10 but there will have to be choices made on how the  
11 governor response and frequency response capability is  
12 provided as we move forward.

13           The other thing that the inertia, traditional  
14 inertia-based generation provided was fault current for  
15 protection and control. We haven't seen any problems  
16 emerging on our footprint that would raise that concern.

17           We have been relying fairly heavily on  
18 synchronous condensers in the L.A. Basin and San Diego  
19 area, as part of the loss of SONGS mitigation. Which do  
20 help provide some level of additional fault current.  
21 But in general, much of the Edison system is actually  
22 experiencing very high fault current levels. So,  
23 protection and control haven't been a problem, yet.

24           We do continue to study those issues every year,  
25 though.

1           CHAIR WEISENMILLER: They were thinking they  
2 might need to have an ancillary service market for  
3 inertia, and they concluded that it was not an issue at  
4 this stage.

5           MR. MILLAR: Yes, and I would say that that's  
6 what we're seeing at this stage as well. But I do want  
7 to reiterate that some choices will have to be made on  
8 where frequency response comes from.

9           And, like I said, grid-connected solar PV can  
10 provide that type of response, but only if it's not  
11 already running at maximum output. So, backing off a  
12 solar panel so that you can get an inertia-like response  
13 out of it, or a governor response out of it, still means  
14 some level of curtailment.

15           CHAIR WEISENMILLER: Yeah, and ERCOT, my  
16 understanding was they keep the wind not at max, but  
17 down, de-rate some, so that they can go up and down.

18           MR. MILLAR: And we currently don't have a  
19 situation, but it's something we need to watch.

20           CHAIR WEISENMILLER: And, actually, having said  
21 that, you know, it's sort of surprising, we're talking  
22 about like 60 hours even at the most extreme.  
23 Presumably, it's time to start thinking about some of  
24 the solutions that we might have for that limited time  
25 period.

1 MR. MILLAR: Agreed.

2 MS. PETERSON: Question. On these two slides,  
3 where you're showing the shortfalls, what kind of time  
4 frame are you -- what year do those show up?

5 MR. MILLAR: Oh, this was an attempt to model a  
6 2030, 50 percent RPS. We were generally working off of  
7 either 2026 cases, developed for our 10-year  
8 transmission plan, recognizing that there isn't a lot of  
9 load growth. So, we were trying to do a crude estimate  
10 of 2030 conditions, but working off of available cases.

11 CHAIR WEISENMILLER: But I assume you really  
12 mean you're looking at a 50 percent renewable case if we  
13 hit it in 2030, or 2026, or 2020, you would have the  
14 same issues?

15 MR. MILLAR: Right. So, we were modeling 50  
16 percent generation scenarios on 2026 cases, just to take  
17 advantage of the work that was already done in the 10-  
18 year planning process.

19 VICE PRESIDENT DOUGHTY: Neil, forgive me if I  
20 didn't catch this and you covered it. Would you expand  
21 a little bit on the cases that you used in the analysis  
22 for risk of retirement, such as a lack of RA contract,  
23 OTC, voltage. Were there anything else that didn't get  
24 touched on there?

25 MR. MILLAR: I think the only other -- we are

1 assuming, of course, the retirement of Diablo Canyon and  
2 the once-through cooling generation. The only other  
3 thing we did was on the system side, in the Southern  
4 California area, we did further adjust beyond the  
5 results we received from the screening for economic  
6 purposes. And we simulated the retirement of an  
7 additional up to 2,000 megawatts, in some scenarios, of  
8 generation that have come to us and told us of their  
9 plans to retire. And that we were testing to see if  
10 there were any reliability impacts.

11 VICE PRESIDENT DOUGHTY: Thank you.

12 MR. MILLAR: Thank you very much.

13 CHAIR WEISENMILLER: Thank you.

14 MS. RAITT: Thanks. Next is Greg Cook, from the  
15 California ISO, as well.

16 MR. COOK: Well, good morning, everyone. So, I  
17 wanted to give a brief overview of some of the policy  
18 development that we have planned for this year, and even  
19 looking over the next couple of years, as well, to  
20 address some of these issues.

21 Let me start off with I think if the Resource  
22 Adequacy Program is working well that it would provide  
23 for the efficient retention and retirement of the  
24 resources that we need to maintain reliability going  
25 forward. And in order to do that, we need to have the

1 policies in place that would ensure that the capacity  
2 prices properly value the resource operational  
3 characteristics.

4           And to do that, we need to develop those  
5 requirements that are aligned with the operational  
6 needs. And, again, as Neil was looking at, we need to  
7 be looking forward to what these needs may be.

8           You know, back when the Resource Adequacy  
9 Program was established, back in 2006, given the nature  
10 of the fleet at the time, it was a largely conventional  
11 fleet, if we were able to meet that fleet load back in  
12 July, pretty much all of the operational attributes that  
13 we needed kind of fell out of that. So, we didn't  
14 necessarily need to pay a lot of close attention to  
15 that.

16           But as we've evolved and have a significant  
17 amount of renewables on the fleet, and that's continuing  
18 to increase, we're having to align those resource  
19 adequacy requirements with those operational needs.

20           We took the first step on that with the flexible  
21 requirement. But I think, admittedly, that was only  
22 looking at one aspect of the operational need, that net  
23 load ramp. But there's other needs that we need to pay  
24 attention, that we're looking at in the future, as well.  
25 We need load following, making sure we have sufficient

1 regulation, meeting those ramping needs. As well as  
2 some of the minimum load issues that we're having in the  
3 middle of the day, today. And, again, that's going to  
4 come down to ultimately, the policy on renewable  
5 curtailments, how that ultimately pans out.

6           Also, I think it's important that we align the  
7 resource adequacy requirements with the integrated  
8 resource planning programs that are currently being  
9 developed to efficiently meet our grid reliability  
10 needs. We should be -- the same objectives that we're  
11 trying to meet in the IRP, those should follow through,  
12 through the RA, so that the resources that are being  
13 procured through the IRP program are also, then, being  
14 the ones that are being contracted for through the RA  
15 program.

16           And, finally, looking at the ISO, we need to  
17 enhance some of the process that we currently have in  
18 place to identify and help facilitate efficient resource  
19 procurement and retirement. And I'll go into a little  
20 more on those in a minute.

21           And, then, next we need to start looking at  
22 establishing resource adequacy rules for distributed  
23 energy resources and storage. This is an area that, you  
24 know, we anticipate is going to continue to grow as we  
25 look forward. And, so, we need to establish the rules

1 for supply and load-modifying distributed energy  
2 resource and storage resources. That includes  
3 establishing the accounting rules and offer obligations  
4 for those resources.

5 And then, also, accurately forecasting the load  
6 that's being served by behind-the-meter resources, so  
7 that those -- that can be put into our forecast, as well  
8 as the planning tools that we use.

9 So, we have a couple of initiatives underway, as  
10 well as some plans as to how we're going to address some  
11 of these risk of retirement issues. What we currently  
12 have underway are FRACMOO2 initiative, which is flexible  
13 resource adequacy criteria and must offer obligation.  
14 The 2 is there. The FRACMOO was the initial initiative  
15 that we put in place to help establish the criteria for  
16 the flexible resource adequacy product.

17 But as we've looked at how that's been  
18 performing since it was put in place, in 2015, we're  
19 finding that a lot of the resources that are being shown  
20 as meeting those flexible requirements, are not  
21 necessarily the resources that are going to be meeting  
22 the needed operational needs in the future.

23 You know, a lot of the resources being shown to  
24 meet the flexible need, since we're only looking at that  
25 net load ramp, tend to be a lot of the long-start OTC

1 resources are encompassing a lot of those requirements.

2           And, so, we're looking at some short-term  
3 enhancements that we can do on the eligibility criteria  
4 to ensure that we have a more effective way of managing  
5 those resources and ensuring that we do get the proper  
6 resources shown to meet the flexible needs of the grid.

7           In addition to that, we're looking at perhaps a  
8 consideration of longer-term resource adequacy reform.  
9 And this really comes down to the fact that the needs of  
10 the grid are changing quite a bit from where they were  
11 when we first establish the Resource Adequacy Program.

12           We think it makes sense to, at this point, step  
13 back, let's look at how is it performing today? Is the  
14 rules that are in place going to be efficient and be  
15 effective as we look forward into the future?

16           And, you know, as we have the separate  
17 requirements for system, local, and flexible, I think  
18 we're seeing there could be some interdependencies among  
19 those requirements that it makes sense to look at what  
20 are some of the longer-term changes we can do, to make  
21 sure that the resource adequacy requirements are aligned  
22 with the future operational needs.

23           And then, finally, we have our energy storage  
24 and distributed energy resources initiative underway.  
25 And this is an ongoing initiative. And, again, it's

1 providing to set up the rules for supply and load-  
2 modifying distributed energy resources, and storage, and  
3 how they can operate within the ISO's market.

4 One more initiative I'll add on here, is we also  
5 have our frequency response initiative underway. We  
6 have new NERC requirements that were put in place,  
7 starting last year, that require the ISO to maintain its  
8 share of the WECC frequency response obligation.

9 And what we've found is particularly during  
10 periods of high renewable output, and low load periods,  
11 there's times when we don't have sufficient frequency  
12 response on the system.

13 We put in place a short-term -- short-term rules  
14 that allow us to transfer some of that frequency  
15 response obligation over to other balancing authority  
16 areas. But we're currently running an initiative, now,  
17 to where we can turn that into a market product, to  
18 ensure that we have sufficient frequency responses, as  
19 well, available through our market.

20 And, again, that could be -- we're still working  
21 through the details on how that product would be  
22 designed. But, ultimately, it would allow for resources  
23 within California to provide that product. But if they  
24 were providing that product, then we may have to  
25 dispatch them in a way that maintains certain head room,

1 so that they can provide the frequency response in the  
2 event that it's needed.

3 And then, finally, we also have a couple of  
4 policy initiatives underway to address when we do -- we  
5 are anticipating more resource retirement requests  
6 coming to the ISO. We need to make sure that we have  
7 efficient processes for dealing with that.

8 We have our capacity procurement mechanism, risk  
9 of retirement provisions currently in place, but we've  
10 found that there are some issues with how that process  
11 currently works. A couple of the problems that have  
12 been raised for us are that a lot of times we'll have  
13 resources that are looking like they're not commercially  
14 viable, they're pretty sure they're not going to get a  
15 resource adequacy contract. But the way the current  
16 policy is established in our tariff, we can't even start  
17 to look at those resources until after October 31st, to  
18 ensure whether or not they actually did receive a  
19 resource adequacy contract.

20 There's need for these resources to have earlier  
21 notification as to whether or not they're going to be  
22 needed or not, so they can start doing the things that  
23 they need to do, in the event that they are going to  
24 retire the facility.

25 And, then, we also need to have policies in

1 place for new provisions to address the fact, when we  
2 have multiple resources coming into us, at the same  
3 time, wanting to retire, to ensure that we have the  
4 proper analysis in place so that we select the right  
5 resources to retire, and retain the ones that we may  
6 need in the future for our operational needs.

7           And then, finally, we call this long-term  
8 economic outages. We've been struggling with what we  
9 were going to call this initiative. I think it's really  
10 what we're talking about here is a unit that wants to go  
11 temporarily out of service. Because they don't feel  
12 that they're commercially viable in the short run, but  
13 they do see as the system conditions change, they may be  
14 commercially viable in the longer run.

15           So, this would allow a new outage type on our  
16 system to where that resource may not be needed for the  
17 next six months or a year, we would allow them to take  
18 that out of service and then come back, in the future,  
19 when it is needed. So, those are -- that's currently a  
20 gap that we have in our current tariff, because we don't  
21 allow for those types of outages.

22           So, that's kind of the plan of what we have in  
23 the short term to address some of these issues, and some  
24 of our thoughts on the longer term. And I'd be happy to  
25 answer any questions.

1           CHAIR WEISENMILLER: Yeah, at this stage, what's  
2 the magnitude of the energy storage and DER resources on  
3 your system?

4           MR. COOK: Currently, on our system it's fairly  
5 small for the ones that are actually participating in  
6 the market. I want to say a couple hundred megawatts.  
7 Obviously, there's the behind-the-meter, which is  
8 thousands of megawatts.

9           But, you know, I think our anticipation is that  
10 that's something that's going to grow fairly rapidly  
11 over the next several years, and so we need to be  
12 prepared for that. And these rules need to be  
13 established so that the resources can know whether or  
14 not it is economically viable to develop these  
15 resources.

16           CHAIR WEISENMILLER: Yeah, in terms of economic  
17 outages, you know, for -- this spring is, obviously,  
18 we're going to have high hydro. If people -- I assume  
19 are scheduling maintenance, whatever they can possibly  
20 do to get offline? Have you seen any?

21           MR. COOK: Yeah. I mean, we tend to see most of  
22 our maintenance outages in the fall, that's the primary,  
23 the prime time maintenance season.

24           CHAIR WEISENMILLER: Right.

25           MR. COOK: But, you know, I do think that we

1 have resources that are, you know, looking at the market  
2 conditions, and grid conditions as well, and potentially  
3 coming offline.

4           You know, the challenge is that we still need a  
5 lot of the flexibility from these resources, even with  
6 the high hydro conditions, because we're still needing  
7 to meet those ramps in the afternoons.

8           VICE PRESIDENT DOUGHTY: I think there's another  
9 observation, and I see some of our colleagues from the  
10 IOUs here, who were on a call with us last week, talking  
11 about this.

12           When we looked at the hydro flows that were  
13 anticipated for this spring, we expected them to really,  
14 seriously impact the over-supply issues. But as we see  
15 prices begin to fall, our sense is that hydro is taking  
16 itself out of the market because prices are so low. So,  
17 we're seeing a lot of hydro spill.

18           We're doing some analysis, now, to get our hands  
19 around that. No matter how you look at it, it's low GHG  
20 production that's not being utilized by consumers. But  
21 the hydro impact on over-supply is playing out  
22 differently than we originally anticipated.

23           And maybe the IOUs can speak to that, as they  
24 take the table later today.

25           CHAIR WEISENMILLER: Yeah, certainly a question

1 for the IOUs is this bid on the hydro, particularly in  
2 this high hydro year, between run of the river and  
3 pondage.

4 MS. PETERSON: Yes, can you give a sense, a  
5 little bit unpack the technical issues that FRACMOO2 is  
6 going to be addressing?

7 MR. COOK: Yeah, FRACMOO2, it's fairly narrowly  
8 scoped because of the fact that we're trying to come up  
9 with short-term enhancements to where we can have them  
10 implemented relatively quickly, and coordinate with the  
11 CPUC's process as well.

12 And, so, what we're primarily looking at is the  
13 viability of having long-start resources providing  
14 flexible capacity.

15 And the real issue there is, particularly when  
16 we look at our short-term unit commitment process, if we  
17 have -- we want to make sure that we have -- it doesn't  
18 necessarily look out far enough to see both the morning  
19 ramp and the evening ramp. So, if you have long-start  
20 resources that were starting up to meet that morning  
21 ramp, they may -- we're not necessarily seeing far  
22 enough forward to the evening ramp, so we may not have  
23 them available for that.

24 And, furthermore, if we don't commit them in the  
25 day-ahead market, then those long-start resources have

1 no obligation to be available in the real-time market,  
2 which is when we have a lot of our flexibility needs due  
3 to, you know, forecast errors from the day-ahead market,  
4 and those types of things.

5           So, you know, in our mind it makes some sense to  
6 ensure that we have the resources that are going to be  
7 available in the real-time market, and that are  
8 consistent with how we do our commitments in the real-  
9 time market, that they're able to start up quick enough  
10 in order to meet the flexibility requirements.

11           MS. PETERSON: So, do you anticipate that there  
12 will -- the process will result in some closer  
13 definition of attributes that could be incorporated,  
14 perhaps, into our RA Program?

15           MR. COOK: Yeah, our plan is to really see if we  
16 can enhance some of the eligibility criteria, I guess is  
17 what I call it, for flexible capacity. We would run  
18 that through a stakeholder process that we're working  
19 on, through this spring and summer. And, then, we would  
20 submit the findings of that into the CPUC's RA  
21 proceeding next fall, for consideration there. Because,  
22 again, we want to make sure we can again, to the extent  
23 possible, have the backstop provisions and the  
24 procurement provisions aligned as much as possible.

25           MS. PETERSON: And, then, let me see if you just

1 agree with this statement. There are a lot of tensions  
2 in this arena. But isn't one tension between developing  
3 a multi-year RA, forward contracting requirement and the  
4 constantly changing needs of the grid? Isn't it  
5 possible that the grid needs would change year to year,  
6 and a forward contract could result in contracting with  
7 a resource that does not provide what the grid needs the  
8 following year?

9 MR. COOK: Yeah, I mean that's a possibility. I  
10 think, you know, there's two sides to that coin. That  
11 there's that issue. But then there's also the issue  
12 that the needs of the grid for like -- let's take  
13 flexibility, for instance, are increasing as we look  
14 out, so that the requirements for next year may not be  
15 high enough to secure a resource that's going to be  
16 needed two years' out. So, that resource doesn't get a  
17 contract, then they could be at risk of early  
18 retirement, where they're going to be needed in a future  
19 year.

20 Whereas, if you had a longer-looking RA  
21 requirement, you can address that issue.

22 But, you know, your point is a good one. It is  
23 challenging because you want to -- the grid conditions  
24 are changing quite a bit. You know, it's we try and  
25 forecast forward what our needs are going to be. But,

1 you know now, I think there needs to be some flexibility  
2 in that. And, you know, normally how you'd address that  
3 is you don't buy a hundred percent of your needs three  
4 years forward, it's some percentage of that. But then,  
5 maybe, you're not really addressing the problem because  
6 it's those ten percent of the ones that are really at  
7 risk of retirement in the first place.

8 So, you know, I think it's something we do need  
9 to look at, though.

10 CHAIR WEISENMILLER: Thanks.

11 MS. RAITT: Thank you. So, I think, then, we  
12 are ready to take a break. And we'll stick with the  
13 schedule of starting back at 12:30.

14 And, again, if you wanted to make comments at  
15 the end of the day, please fill out a blue card. I got  
16 one, but they're at the entrance there, if you could go  
17 ahead and fill one out.

18 CHAIR WEISENMILLER: Great, thank you. So,  
19 we're adjourned until 12:30.

20 (Off the record at 11:22 a.m.)

21 (On the record at 12:31 p.m.)

22 MS. RAITT: Hi, welcome back. We're going to go  
23 ahead and get started. We have a panel this afternoon  
24 to talk about the risk of economic retirement of  
25 California power plants.

1           And, so, if folks can go ahead and take seats,  
2 we'll get started with our panel.

3           And Melissa Jones, from the Energy Commission is  
4 the moderator. And I'll go ahead and give it to  
5 Melissa. Thank you.

6           MS. JONES: Good afternoon, everyone. I'm  
7 Melissa Jones. And good afternoon, Chair. And  
8 Commissioner Randolph, welcome.

9           Today, we're going to have a panel. We heard  
10 this morning from the agencies and from the ISO. And  
11 this afternoon we're going to get some different  
12 perspectives from the utilities and from the power plant  
13 owners.

14           And, so, we have four main topics we're going to  
15 be talking about. What power plants in California are  
16 at risk of retirement? Some for economic reasons. Are  
17 there others for environmental or other reasons?

18           How would power plant retirements affect local  
19 reliability and resource adequacy, from your  
20 perspective?

21           What are the desirable attributes and  
22 performance characteristics of power plants?

23           And what are possible approaches and solutions  
24 to meet the needs of the electricity system?

25           So, I think everyone wanted to make an opening

1 statement, so we're going to allow three to five minutes  
2 for that. And why don't we start over here on my right,  
3 with Greg Blue.

4 MR. BLUE: Good afternoon, everyone. My name is  
5 Greg Blue, with Cogentrix Energy. And, yes, I am that  
6 Greg Blue which is on that footnote number 8, of the  
7 2003 IEPR. You can look it up yourself, it's online.  
8 And the topic I was talking about that time was the  
9 retirement of existing generation. So, we're back  
10 again. Hopefully, we'll have some solutions.

11 With me today is also Jeff Spurgeon, who is from  
12 our Charlotte Office, and is here to help with any  
13 technical questions that we may have, as well, that I  
14 might need some assistance on.

15 So, Cogentrix manages six -- well, let me back  
16 up. We heard about, this morning, about a lot of the  
17 issues that are upcoming. And it seems like a lot of  
18 the issues that they're talking about are a little bit -  
19 - they're coming, we can see them coming, these issues.

20 But from Cogentrix's point of view, the issues  
21 are here, now. We manage six flexible, fast-start  
22 peakers, located throughout California. And two of  
23 those are not under contract. The ones located in the  
24 San Diego Sub-area. Three of those are out of contract  
25 at the end of this year. And one of those is under a

1 long-term contract.

2           So, these issues are very pertinent to us and  
3 we've been kind of vocal on some of these things.

4           As we know, as was stated earlier, as everyone  
5 knows, the peaker plants only run maybe 5 to 10 percent  
6 a year. That's their -- a 10 percent capacity factor is  
7 a good year. And based on what we heard about the  
8 pricing and so forth, you're not able to recover all  
9 your cost if you just -- just from the energy market.

10           So, these kind of peaker plants require some  
11 form of capacity payments. And the only opportunities  
12 we have, now, for capacity payments are through the RA  
13 contract, the resource adequacy contract, or the RMR  
14 contract, reliability must run.

15           We believe that the existing fleet of peaking  
16 resources are an essential bridge to the future, low-  
17 carbon grid. And as we've seen, as more intermittent  
18 generation is added to the grid, more tools are needed,  
19 including the fast-start peaker.

20           One of the things I will say is, you know, I  
21 want to -- a couple things. I want to focus on the GHG  
22 impacts of both our plants, and some of the things that  
23 are happening in the market.

24           The peaker plants, because of their short run  
25 time, as I mentioned before, really, the GHG footprint

1 per megawatt are significantly lower than both combined  
2 cycles and the existing once-through cooling plants.

3 So, that's kind of setting the framework.

4 I'm just going to list some of the problems and  
5 I'm going to list some solutions, and we'll be happy to  
6 talk more about these as we get through the discussion.

7 So, starting with the problems. Steve  
8 Berberich, the CEO of the ISO, at the March 15th Board  
9 meeting, basically, in discussions regarding approval of  
10 an RMR contract, basically said it's an indication of a  
11 systematic market failure. And, so, that was what he  
12 said.

13 As we heard earlier, the RA market is depressed,  
14 with weak prices, due to the short term nature of the  
15 contracts. I think renewable generation is assigned too  
16 high of an RA value. That's my own opinion. And  
17 utilities have procured so much solar that they're  
18 actually selling RA back to the market, which is further  
19 depressing the pricing of that market.

20 We've heard a lot about the duck curve. That's  
21 coming faster, steeper, more often than we originally  
22 estimated. In fact, every time I'm going to the ISO or  
23 see the ISO, I'm hearing about a new record. It's  
24 either a new record ramp, or a new record net low.  
25 Which we just heard this morning about another record

1 net low. Which, again, that's the belly of the duck.  
2 And the lower you go, the ramp's going to get steeper  
3 and longer. That's an issue.

4           The other issue is that California, and I'm  
5 going to say California when I'm referring to the three  
6 agencies, and I'm going to call you agencies for this.  
7 But I'll just say California, rather than repeating all  
8 the names.

9           But California currently allows 60-year-old  
10 once-through cooling plants, and other long-start  
11 generation to count as flex capacity. Which means, as  
12 we heard earlier this morning, as well from the ISO,  
13 these units have to be dispatched the day before to be  
14 available and they have to run all night long to be  
15 available for the morning ramp, and all day if they're  
16 there for the afternoon ramp. This does not support the  
17 State's GHG goals.

18           California also supports extending the Encina  
19 once-through cooling plant, currently scheduled to close  
20 at the end of this year. Meaning another year of high  
21 GHG emissions, another year of effects to the sea around  
22 that area.

23           And there's also discussions of extending  
24 Alamitos and Huntington Beach once-through cooling  
25 plants, as well. Again, this also does not support the

1 State's GHG goals.

2           One last major problem is all the forecasts that  
3 are used by the ISO, the PUC, and the CEC, they all show  
4 -- we saw one this morning, they all show uncontracted  
5 generation just being there for the next five to ten  
6 years. And I can tell you, that is an incorrect  
7 assumption. It's like, Tom, I'm going to offer you a  
8 job, okay. And the first year I'm not going to pay you,  
9 but you're still going to have your bills, because I  
10 might need you the next year. Would you stick around?  
11 I'm not sure. We'll see about that.

12           I know my time is up. Real quickly, a couple of  
13 solutions. One, tighten the criteria for eligibility  
14 for flex capacity. The ISO currently has a stakeholder  
15 process, but that's not going to be implemented until  
16 the 2019 or maybe 2020 RA season.

17           The CPUC has an opportunity to approve changes  
18 for the 2018 RA season, on this issue.

19           Second would be implement multi-year RA  
20 requirements on all LLCs, now, and which we believe will  
21 lead to multi-year procurement. Again, the CPUC has an  
22 opportunity to implement changes for the 2018 RA season.

23           And, then, if neither of these two actions can  
24 be accomplished for the 2018, then we have been  
25 proposing a one-time, transitional flex capacity bridge

1 procurement program for existing peaking plants. And  
2 you would have to qualify for that, and there would be  
3 three- to five-year PPAs associated with that.

4 And with that, I'm going to look forward to  
5 answering more questions during the discussion. Thank  
6 you.

7 MR. SMITH: Good afternoon, this is Mark Smith,  
8 I'm with Calpine. Commissioners, thanks for inviting  
9 us. Tom, good to see you, too.

10 Calpine, I think, you know very well, has 7,000  
11 megawatts or so of generation within the State. Some of  
12 that has long-term contracts. A significant portion of  
13 that is under what we call merchant conditions, where we  
14 have no contracts and sell into both California ISO and  
15 RA markets.

16 We, of course, have combined-cycle facilities,  
17 we have peaking facilities, and we have a significant  
18 number of geothermal plants up in Lake and Sonoma  
19 Counties, that I think you're very well aware of.

20 Virtually all of this capacity is located within  
21 local-constrained, transmission-constrained areas. LCR  
22 areas, as the ISO would call them. And I think that if  
23 you look at the ISO's LCR requirements, that look out  
24 only five years, but nonetheless five years, there is  
25 still a substantial amount of generation that's required

1 in those local areas, for that long term of a duration  
2 of time.

3 Even though changes may happen over time, they  
4 will happen on the fringe, we think, and not wholesale  
5 changes to the amount of local generation that's needed.

6 Nonetheless, virtually all of this capacity is,  
7 you know, threatened or subjected to the retirement  
8 pressures based on current conditions.

9 So, we heard a lot about the current conditions  
10 this morning, but let's just touch on it very generally.  
11 The impacts of the secular change are staggering.  
12 Movement and building out generation, particularly in  
13 the renewable sector, wind, and more particularly solar,  
14 has resulted in energy margins absolutely collapsing.  
15 And RA prices have not moved to accommodate the costs of  
16 operating facilities in California.

17 As a matter of fact, many merchant plants,  
18 certainly the ones that I operate, struggle to cover  
19 their variable costs. There are other going-forward  
20 costs, including major maintenance.

21 As a matter of fact just last month, the month  
22 of March, this year, of my merchant fleet, say 2,200,  
23 2,500 megawatts, depending on how you count them, we  
24 required almost a million dollars in uplift. Almost a  
25 million dollars of make whole payments in order to

1 collect just our variable costs of operating. That  
2 should be a startling number for folks to understand.  
3 That plants that are being dispatched, fairly routinely,  
4 even under these conditions fairly routinely, are  
5 struggling to recover just their going forward costs.

6 And, by the way, no generator wants to operate  
7 in a market where the best you can do is recover your  
8 going forward costs, your variable costs.

9 At the same time, we see supply commitments, or  
10 tenor of contracts diminishing. That is specifically,  
11 and I think Mr. Lawlor will say this later that, indeed,  
12 most of the LSEs are long-generation these days, because  
13 of the out-of-market commitments they've made to the  
14 solar resources. So, more often, they're in a sell  
15 position in RA, than they are in a buy position. Which  
16 is, I think, a pretty stunning change.

17 The CCAs, the community choice aggregators, are  
18 almost always buying short-term capacity year to year.

19 Given these facts, it might be reasonable to ask  
20 why we continue to operate these plants in this  
21 environment? And that's a fair question, one that maybe  
22 we can take in Q and A.

23 But, nonetheless, I think that we have shut down  
24 a number of plants. We're continuing to evaluate which  
25 plants we should shut down. And we need your help to

1 try to figure out what ones are the ones to keep.  
2 That's really purpose, I think, of this meeting in  
3 particular.

4 Right now, when the market fails to support  
5 resources, we have seen an effective use, just very  
6 recently here, of the ISO's backstop procurement  
7 mechanism. We went -- and I can talk more about this in  
8 Q and A, because I know I'm limited here. But we went  
9 to the ISO, seeking an evaluation of four of our peaking  
10 plants, similar to Mr. Blue's plants.

11 The ISO found, not surprisingly to us, that two  
12 of them were needed for reliability purposes. All of  
13 them were dispatched almost every day. We call them the  
14 sunset peakers, because as the sun goes down, they go  
15 up.

16 And, you know, we've found that two of those  
17 were needed for reliability and we're currently in the  
18 process of designing an RMR contract to accommodate the  
19 ongoing operation of those plants.

20 RMR is the backstop to the market power concerns  
21 for local area requirements. Again, I can talk more  
22 about that along the lines of the questions and answers.

23 But let me be clear about one final thing, I  
24 guess, here. Is that California needs a thoughtful and  
25 comprehensive plan to retain generation that's needed

1 for reliability. We can call it a reliability insurance  
2 program that will extend through this transition,  
3 however long the transition might exist, to a world that  
4 reaches our aspirational goals of GHG reduction.

5 But that plan needs to be in place, an  
6 evaluation mechanism needs to be in place in order to  
7 determine which resources we want to keep. And I would  
8 assert that many of the resources in those highly-  
9 constrained local areas are needed, and will be needed  
10 into the near future. Thank you.

11 MR. THEAKER: Thank you, Mark. Thank you,  
12 Melissa. Chair Weisenmiller, Commissioner Randolph,  
13 Tom, thank you for the opportunity to address these  
14 issues today.

15 So, NRG is currently operating about 7,100  
16 megawatts of conventional generation in California,  
17 5,800 megawatts of that is within CAISO local capacity  
18 areas. We also have about 3,000 megawatts of those  
19 assets are once-through cooled units that, for all  
20 practical purposes, will be retired, fully retired by  
21 the end of 2020.

22 We also are operating another 1,200 megawatts of  
23 solar assets in the State, and we're aggressively  
24 pursuing energy storage projects, as are probably a lot  
25 of the people in this room.

1           So, to put this in perspective, let me give you  
2 just a few stats. In 2015, NRG was operating 9,500  
3 megawatts of gas-fired generation. Last year, that  
4 number dropped to 8,500. This year it's 7,100. And the  
5 most likely future that we can foresee probably has this  
6 operating about 2,600 megawatts of gas-fired generation  
7 beyond 2020.

8           Let me give you just a couple of other  
9 interesting factoids from yesterday's, that load peak.  
10 Across the daylight hours, the ISO's day-ahead market  
11 produced prices that averaged negative \$2.56. And the  
12 ISO's real-time market, from the hours of 7:00 a.m. to  
13 5:00 p.m., produced prices that averaged negative \$16.00  
14 and change. So, that gives you a sense of what the  
15 system prices are on an over-generation day.

16           So, the reality is that to meet California's  
17 aggressive GHG goals, it's going to be necessary for the  
18 supply of electricity that comes from gas-fired  
19 generation has to be greatly reduced. There's no doubt  
20 about it. This is not a conversation about preserving  
21 all gas, this is a conversation about preserving the  
22 right gas.

23           So, and that's already happening. Year to date,  
24 if you look at energy statistics, CAISO thermal  
25 production is 22 percent below 2016 levels. Of course,

1 that's thanks to the incredible hydro year that we're  
2 having, as well as the build out of renewables.

3 I'd note that it's 45 percent lower than this  
4 same period in 2014. So, we are driving carbon out of  
5 the system, there's no doubt about it.

6 But we have to remember that the electricity  
7 sector comprises only about 20 percent of statewide GHG  
8 emissions. So, we can squeeze all of the carbon out of  
9 the electricity sector and we still won't come close to  
10 meeting the State's overall GHG goals.

11 The reality is if we're going to increasingly  
12 squeeze carbon out of the economy, we're going to have  
13 to turn to the transportation sector. And to do that, I  
14 think we're going to need a very reliable electricity  
15 grid in order to meet the transportation needs that we  
16 see coming, to meet our GHG targets.

17 So, we can do that two ways. We can either  
18 greatly over-build a system of variable and short-  
19 duration resources, or we can maintain a prudent amount  
20 of gas-fired generation to maintain system reliability  
21 and local reliability through the transition.

22 Gas-fired generation has three really important  
23 reliability attributes. Availability, dispatchability,  
24 and duration. So, and currently, at present, the gas  
25 delivery system is a effective, if not the effective

1 form of energy storage.

2           So, we believe that ultimately we have to drive  
3 carbon out of the system, but we have to have a reliable  
4 transition to that future. We believe that a fresh look  
5 at multi-year, RA requirements is the right structure  
6 for having that conversation.

7           So, thank you for this opening time and I look  
8 forward to the discussion today.

9           MR. CUMMINS: Paul Cummins, with Wellhead.  
10 Thank you for the opportunity to be here today. After  
11 my colleagues to the left of me have given their opening  
12 remarks, especially about the problem statement, I can't  
13 imagine what more I could say to add to it. They've  
14 done a great job.

15           I will say a little bit about Wellhead.  
16 Wellhead has eight facilities. Six of them peakers.  
17 Three of them uncontracted. All of our assets are in  
18 strategically important locations, and they're being  
19 called daily in the mornings, of course, and in the  
20 evenings. Big surprise.

21           The three uncontracted assets have to live off  
22 of RA. And since they are only capable of providing  
23 non-spinning reserve, they have to bid what they can  
24 supply, which is non-spinning reserve. If they're lucky  
25 enough to get awarded a non-spinning reserve award, they

1 will get paid one cent per megawatt. That's 50 cents an  
2 hour, on a 50-megawatt peaker. That's \$4,000 a year.  
3 That's a pretty low rent for a 50-megawatt peaker.

4 So, the problem statement is the sources of  
5 revenue, RA, and ancillary services are really providing  
6 very little to fixed assets that are uncontracted. And  
7 the number that was shown earlier, of \$3.00 a kW a  
8 month, for RA, we think is an overstatement. That's  
9 probably at the higher end. At maybe some locations,  
10 some areas are getting it. We think it's an  
11 overstatement, we think it's considerably less.

12 So, what's to be done? Assets, like peakers,  
13 they're good assets. They're the right assets because  
14 peakers get out of the way of renewables. They don't  
15 have to motor along all night to stay warm, so they can  
16 be available for the ramp in the morning. They can be  
17 down all night and they can come up in the morning, just  
18 like ours do. But then they can go back down during the  
19 middle of the day.

20 So, the right gas peakers are the right kind of  
21 gas because they can get out of the way.

22 There's other resources that can be -- ways to  
23 enhance. We understand that with the loss of combined-  
24 cycle units, particularly the ones that motor through  
25 the night and are around, the CAISO is going to suffer a

1 loss of primary frequency response. And that's going to  
2 be a big deal. We also heard about in the presentation  
3 this morning, that the FRO is extremely important, and  
4 that near-term fix is to buy it from other BAs. But  
5 that's not the long-term fix. The other fix is to find  
6 sources of primary frequency response within California.

7 Edison recently enhanced two of its peakers, at  
8 Grapeland and Center, by adding a battery and hybridized  
9 those units. Those units did not provide primary  
10 frequency response before, but now they do. And they're  
11 also able to participate in spinning reserve markets, as  
12 well as high-speed regulation.

13 This is a good thing and we're an advocate of  
14 this kind of technology, and we think that public policy  
15 should move to support deeper implementation of this  
16 kind of technology.

17 Other things that can be done. Cogentrix  
18 referred to improving or parsing better the method of  
19 flexible RA. We think that perhaps a new tier of high-  
20 speed, or get-out-the-way gas RA should be considered,  
21 so that there's a -- instead of broadening the  
22 performance requirements, take the performance  
23 requirements that are really important for the future,  
24 and highlight those, and create a market for those. And  
25 peakers could be, maybe, the only resource, and maybe

1 even ultimately storage. But create a market that  
2 highlights the things that are important for the future.  
3 Speed, flexibility, and getting out of the way of  
4 renewables.

5 Another idea that we have, and it would not take  
6 very much to implement, would be to re-look at the non-  
7 spinning reserve market, and how non-spinning reserve is  
8 accessed, how it's structured, so to speak.

9 And one idea, increase the procurement levels of  
10 non-spinning reserve, but give certain minimum wages,  
11 like create a minimum wage for certain assets that might  
12 be locationally advantaged. And it wouldn't necessarily  
13 have to be locationally advantaged for every minute of  
14 the day. They could be locationally advantaged for some  
15 minutes of the day.

16 But this way, a resource which is strategically  
17 located could access the real opportunity costs and  
18 opportunity value of that situation.

19 Okay. So, I think that's about all that we have  
20 to say about this, and look forward to the Q and A.  
21 Thank you.

22 MR. LITTLE: Good afternoon, I'm Eric Little  
23 from Southern California Edison. I have to start by  
24 stating that I will be touching upon the RA proceeding,  
25 which is open and active. And given that there is a

1 Commissioner here, and I believe there is still and  
2 advisor here, in the room, I will give you the  
3 opportunity, if you wish, to excuse yourself. Wow, that  
4 usually works with my kids, though. They run.

5 (Laughter.)

6 MR. LITTLE: They would be out the door already.

7 Okay, so that's fine. You heard about the  
8 problems --

9 COMMISSIONER RANDOLPH: Hold on one second. So,  
10 it's since we're noticed I think it's okay, right?  
11 Michelle and Rachel? Yeah.

12 MR. LITTLE: You heard a lot about the problem  
13 statement already. I'm going to go a bit more towards  
14 solutions, as well as another portion of the problem  
15 that Edison sees. And we've noted this for quite some  
16 time.

17 There's a few processes that we go through right  
18 now. There's a long-term process, that used to be the  
19 Long-Term Procurement Plan, now the IRP, that looks ten  
20 years forward, if not more, and decides upon what  
21 resources are needed and authorizes procurement for  
22 those resources, to ensure that they're there.

23 We have a one-year forward RA program that looks  
24 at the grid and says I need a certain amount of  
25 resources to be able to meet the load, and you saw this

1 morning exactly how that's structure.

2           And, then, that has a must-offer obligation to  
3 those resources, so that they're available to the ISO.

4           What we're missing is something between those  
5 two points in time. And that's exactly the problem  
6 that's being described here, today, is you look forward  
7 five years from now and say, well, I don't have a  
8 contract five years from now. But if we looked at the  
9 condition of the grid in five years, you might want that  
10 resource there.

11           And if it's not under contract today, you've  
12 heard the risk from the folks sitting to the left of me,  
13 that they may need to take that resource and do  
14 something else with it, make some other productive use  
15 of that capital.

16           And, so, we're in that situation where you then  
17 say, well, okay, but if I let that go and next year, or  
18 two years from now I decide that I need it, don't have  
19 enough time to build a new resource.

20           And while there is new technology that's coming  
21 out for new types of resources, and a lot of those move  
22 us towards a carbon-free environment, and we're fully  
23 supportive of moving towards a carbon-free environment,  
24 we need to make sure that we have a good path to get us  
25 there, reliably.

1           So, we need to account for, in that five-year  
2 period, what resources are going to be needed in that  
3 time frame. And that leads us to a discussion, again in  
4 the RA framework, of a multi-year forward RA  
5 requirement.

6           And, so, before anybody says it, I already know,  
7 Edison has said, in this proceeding, we are not in favor  
8 of doing the multi-year RA requirement. I will tell you  
9 that it's because we are not in favor of a multi-year RA  
10 requirement, it's because of a timing issue. That  
11 timing issue is that we do not have a durable solution  
12 for the flexible product. We don't want to be looking  
13 at procuring something long term for three, four, five,  
14 six seven years, only to find out in two years that it  
15 doesn't actually meet the need of the grid. So, we're  
16 hoping that those two happen in concert with each other.

17           That said, a multi-year forward objective, to be  
18 able to deal with this issue, is a legitimate process.  
19 In that process, we think there's two ways to go about  
20 it and you need to do both of them. One is you may have  
21 something that is attribute based. I.e., I need a  
22 certain type of a resource that has the following  
23 attributes. But which resource, specifically, I don't  
24 really care, as long as you get them for me.

25           You set that up. Everybody who's a load-serving

1 entity has a requirement to go procure their batch of  
2 it. They do so, and those resources are then procured.

3           You have a second batch which is more of a -- it  
4 may be an attribute, but it may be a specific resource  
5 that's needed because of a locational attribute, or  
6 something along those lines.

7           In those cases, we have mechanisms to deal with  
8 those, as well. We've dealt with them in the 10-year  
9 planning horizon, whereby the utilities are asked to go  
10 do that procurement. And in doing so, the utilities are  
11 given the opportunity to recover the cost for that from  
12 all benefitting customers. The mechanism is called CAM,  
13 the cost allocation mechanism.

14           As long as we have those mechanisms still  
15 available, and they can still be utilized to meet the  
16 reliability for everybody, because that is what we're  
17 talking about here, then you can meet that group of  
18 resources by doing a CAM process for them. And having  
19 the attribute base where it is, you know, any of the  
20 following types of resources be allocated to everybody.

21           And, of course, in the CAM process, when you do  
22 that it's all benefitting customers pay for it and  
23 everybody receives the benefit from it. So, to the  
24 extent that those resources are meeting a resource  
25 adequacy requirement, it lowers the resource adequacy

1 requirement of all benefitting customers. I.e., the  
2 direct access providers, the CCA providers see their RA  
3 requirement go down because of the procurement that was  
4 done by the utilities, effectively on their behalf, for  
5 that process.

6 So, there is a mechanism to be able to do this  
7 procurement. There is a mechanism to be able to ensure  
8 those revenue streams.

9 You'll notice that in the local areas,  
10 particularly those that are heavily constrained, they  
11 need all of the resources to meet the need, there isn't  
12 nearly as much of a problem. And the reason there isn't  
13 nearly as much of a problem is because those resources  
14 know they're very, very likely to continue to get a  
15 contract. And that is something that is easier for them  
16 to go and finance, where something that they don't know  
17 year to year. A system resource, or being in a local  
18 area where there is many more resources than what's  
19 needed in that local area.

20 So, that's why I say if we do this, this dual  
21 process, we'll be able to have the ISO take a look at  
22 what resources are needed on the grid, define those that  
23 must stay, have a process to take care of those, define  
24 the attributes that must stay, have a process to take  
25 care of that. We have the resources that we need to

1 operate the grid during that foreseeable future and we  
2 orderly transition to a low carbon future. Thank you.

3 MR. KRUGER: I'm Vic Kruger, from San Diego Gas  
4 & Electric, and I want to thank you for the opportunity  
5 to speak today. I'm going to keep my comments more  
6 specific to the unique characteristics of San Diego. We  
7 have many of the same problems that have been discussed  
8 already here, and will be discussed soon here.

9 But in the San Diego area, some of our unique  
10 characteristics are, unlike most of the IOUs in the Cal  
11 ISO area, we are impacted by actions in other balancing  
12 authorities, other than the Cal ISO. So, caution must  
13 be used because their actions could significantly alter  
14 the effectiveness of many of the possible responses of  
15 risk of retirements, possibly destroying their value.

16 Also, San Diego is mostly residential load. So,  
17 the upcoming mandatory time use rates, the  
18 electrification of transportation, the continued growth  
19 of rooftop solar PV, and behind-the-meter battery  
20 storage could mitigate some of the risk of retirements  
21 in the San Diego area because of our load profiles.

22 Also, the historical seven- to ten-year time  
23 frame needed to build generation or transmission  
24 projects may not be the limiting factor with certain  
25 retirements, because battery solutions may be able to

1 cut this lead time, allowing more time to fully evaluate  
2 all possible reliability solutions before a decision  
3 must be made.

4           However, storage resources are energy limited,  
5 so long-duration reliability needs must be studied  
6 carefully.

7           And, finally, the more analysis that can be done  
8 before any firm decisions are made on economic  
9 retirements will result in the least cost/best fit  
10 solutions. Thank you.

11           MR. LAWLOR: Hi, I'm Joe Lawlor from Pacific Gas  
12 & Electric Company. Thank you for the opportunity to  
13 comment.

14           With me, today, is Jim Gill as well. I  
15 understand there were some hydro questions and Jim's  
16 here for that purpose.

17           I think we can all agree the economics of the  
18 market have changed. It has a strong impact on all  
19 generators.

20           The piece that probably we haven't talked about  
21 is the structure of the markets are changed. Load is  
22 shifting. PG&E has quite a few CCAs in its area. And  
23 something that often people don't realize, as Mark  
24 mentioned, I'm no longer necessarily a buyer. I'm a  
25 seller in many of these markets. And as more load

1 continues to shift, PG&E's position will be more  
2 capacity sales.

3           When I look at, you know, what maybe needs to  
4 change, I personally consider the RA program very  
5 successful up to this point. But with all of these  
6 changes, I think it's time for some larger redesign  
7 efforts, and I've heard my other panelists say the same  
8 thing.

9           The one particular in PG&E's area, that needs to  
10 change, is the local other areas are bundled. When I  
11 was procuring for all the local needs in the other  
12 areas, and they were bundled, as the largest entity I  
13 could have a view as to where to place the procurement,  
14 to make sure that compliance was met, and to minimize  
15 CAISO backstop.

16           I think in an environment where there are many  
17 buyers, we have a real opportunity for different LSEs to  
18 buy, maybe in similar areas, resulting in even more  
19 backstop, more RMR than otherwise would have been  
20 necessary, had there been more centralized procurement.

21           And, so, I think we have to take on that  
22 bundling. If we unbundled it, at least the LSEs would  
23 have clarity as to where they had to procure in each  
24 area. And I heard earlier today that maybe that  
25 bundling was a result of market power mitigation and

1 concept.

2           What I didn't hear come up was the RA program  
3 actually has market power mitigation rules. And, so,  
4 those rules say, you know, if you can't buy RA in an  
5 area, at \$40 a kW, a year, and I know many of the other  
6 participants here helped design that program. So, if my  
7 numbers are a little off, feel free to correct. But you  
8 get a pass and then the obligation removes from you.

9           But the reliability still gets met, but CAISO  
10 steps in and procures, and it would procure on a cost  
11 basis. And, so, you do have a market power paradigm  
12 that exists there.

13           Another thing I would suggest that might need to  
14 be looked at as we go forward, as we consider all these  
15 changing paradigms, is maybe all of local needs to be  
16 centrally procured, by CAISO, by a State agency, by  
17 somebody. Because where's the efficiency? Because it  
18 does feel like we are on the precipice of more CPM and  
19 more RMR, and I'm not sure that that's the economic best  
20 outcome.

21           I will also say that, you know, longer-term RA.  
22 I hear that -- I know that that's been a part of the  
23 market. WE saw the slides earlier.

24           PG&E hasn't done an intermediate term RFO, which  
25 is a multi-year RFO for capacity, since 2014. We're not

1 going to have to buy again like that, that I can foresee  
2 in the future.

3 And, so, that's a piece of many generator surety  
4 that doesn't appear to be in the market anymore. I  
5 don't know what the contractors of other non-PG&E's are,  
6 but I hear that often from others. So, that's a piece  
7 that could be looked at, either RA or some other  
8 paradigm.

9 I think we also are in a situation where now we  
10 need to think about the CAISO procurement. I mean, I  
11 support the backstop, reliability is key. But it's not  
12 integrated into the RA program, because it was supposed  
13 to be a backstop and RA was supposed to be the front  
14 stop.

15 So, now, when we have RMRs coming in, is it  
16 coordinated in a way that it's not double procurement?  
17 And that's really another concern on net affordability.

18 The last piece I'll throw out. Really, the  
19 integrated resource planning process, I think it needs  
20 better integration with the RA paradigm, so that we can  
21 see how all the State goals are put together, how  
22 everybody's procurement comes together and assures that  
23 longer-term vision, and that separation has -- feels  
24 like that's going to be a part of something that needs  
25 solving. Thank you very much for your time.

1           MR. GOULD: Good afternoon. My name is Ross  
2 Gould. I'm the Director of Power Generation at the  
3 Sacramento Municipal Utility District.

4           I've got a slightly different perspective, as  
5 SMUD is a member of a balancing authority in Northern  
6 California and not ISO. We're somewhat of a vertically  
7 integrated utility. But we're still affected by all the  
8 same forces as everybody else. We're playing the same  
9 pool.

10           So, I manage a fleet of slightly more than 1,000  
11 megawatts of natural gas-fired cogeneration and simple-  
12 cycle peaker plants. And I also manage a 700-megawatt  
13 hydro facility, up on the hill. So, I've got a little  
14 bit of perspective on both of those.

15           We've definitely seen a change in our missions.  
16 I've been here, just over two years ago, asking for  
17 permission to change my cogeneration facilities into  
18 more of a load-following facilities, by adding ox  
19 boilers, and stacked amperes and all kinds of things to  
20 change their mission.

21           We see the energy imbalance market coming to  
22 California and it's going to make a big change in the  
23 way that we operate our facilities. Hopefully, we're  
24 looking for the opportunity to get more usage out of our  
25 thermal fleets from that way.

1           We see storage as a big change in the game  
2 coming in the near future. And it's interesting to  
3 contemplate how that's going to affect us and how it's  
4 going to affect the entire market.

5           For now, though, we do really see a huge value  
6 in inertia. I heard that this morning. And it was like  
7 studied it, didn't really seem to make a difference, but  
8 I think it does. Especially in an area where we are  
9 kind of vertically integrated, we are a net importer of  
10 energy, and that's by design. And, so, we need to have  
11 that rotor spinning to be able to do the things that we  
12 need to do.

13           So, I look forward to providing a different  
14 perspective and thank you.

15           MS. JONES: Did you want to have questions now,  
16 or did you want to wait?

17           CHAIR WEISENMILLER: Actually, I was just going  
18 to ask one question for PG&E, just on the record.  
19 Obviously, we've heard a lot from the gas guys here but,  
20 obviously, the policy issue is sort of cost of operation  
21 vis-à-vis for price curves.

22           And so to the extent, so it's not just gas, I  
23 thought it would be useful for PG&E to talk about their  
24 hydro system, and what they're like at this point.

25           MR. GILL: Thank you. I think a lot of what

1 you've heard here today is similar struggles that we're  
2 facing on the hydro side of the business. We have 26  
3 FERC projects up and down the Sierras. And our biggest  
4 challenge is a combination of the changing energy  
5 market, the falling prices, the flexibility that's  
6 needed in the system. Much of our hydro system is  
7 flexible. However, some of it is not. Some of it is  
8 Gold Rush era run of the river, flume systems that don't  
9 have the ability to stop and start to meet the  
10 fluctuations that we're seeing as a result of rooftop  
11 solar, and larger commercial solar.

12           You add into that, also, the very complex  
13 relicensing process that we have to go through, not just  
14 at the Federal level, but also at the State level, here  
15 in California. The typical relicensing process can take  
16 anywhere from 10, upwards of 29 years to complete. And  
17 the conditions oftentimes result in reduced flexibility  
18 for our hydro fleet, a loss of generation, a percentage  
19 loss of generation, and many more ongoing mitigations  
20 and studies.

21           So, it's a complex sandwich, so to speak, of  
22 falling prices and escalating operative costs for our  
23 facilities that cause us to have to reevaluate where's  
24 the value in that for our ratepayers.

25           CHAIR WEISENMILLER: And you're recently

1 decided, at least on one facility, to turn back the  
2 license. Do you want to talk about that some?

3 MR. GILL: That's correct. So, our Centerville  
4 Project, which is just east of Chico on -- it's a  
5 combination of diversions from the west branch of the  
6 Feather River, as well as in Butte Creek. We had been  
7 under relicensing on that project since early 2004. We  
8 elected, approximately a month ago, to withdraw our  
9 application for renewal of the license.

10 And what that essentially means, we withdrew our  
11 application which, under a normal circumstance, would  
12 mean that FERC would then look for another potential  
13 buyer through the orphan process, or then surrender the  
14 project. And at that point, it would go through  
15 decommissioning.

16 However, FERC did something relatively new and  
17 they denied our withdrawal application, and allowed us  
18 the ability to refile in 60 days. And what that means  
19 is it gives us an opportunity to find a potential  
20 transferee to take over the project, as it stands under  
21 the current relicensing process, and they would carry it  
22 forward to get the new license. They have 60 days to do  
23 that. That 60-day deadline to express interest in the  
24 project expires this week.

25 It's our anticipation that if no one comes

1 forward, expressing interest at that point, we would  
2 refile and FERC would then initiate the orphaned project  
3 process.

4 CHAIR WEISENMILLER: And, presumably, you have  
5 other projects that may end up in that situation. I've  
6 heard some, at least in the trade press, some  
7 speculation of Porterville?

8 MR. GILL: Well, I think speaking in terms of  
9 the entire portfolio, you know, given the changing  
10 environment that we're in, it's caused us to have to  
11 reevaluate all of our projects. We have some that are  
12 like the -- I'm assuming you're referring the Potter  
13 Valley Project. Such as the Potter Valley Project,  
14 where we are having to take a much harder look. Where  
15 some of the value in that project is really in the value  
16 of the water, itself, not so much in the generation, and  
17 what it serves to the broader community. So, there's  
18 tremendous value in it, but is it the right value for  
19 our ratepayers. That's the analysis that we're going  
20 through right now on every one of our projects.

21 CHAIR WEISENMILLER: And when do you anticipate  
22 having that comprehensive review done?

23 MR. GILL: It really all depends on the project,  
24 itself. But I would anticipate that within the next  
25 year we'll have a much firmer idea of where we stand in

1 terms of our broader EOG portfolio.

2 CHAIR WEISENMILLER: And back many years ago,  
3 your system was like two-third pondage and about a third  
4 run of the river. My impression is it's closer now to  
5 flipped over, or what's your current split between run  
6 of the river and pondage?

7 MR. GILL: I don't have exact statistics, but  
8 not much of it has changed since that time period. Our  
9 Shasta System, which is up on the Pitt River System is a  
10 large, underground aquifer system that is -- does have  
11 some storage to it. Our Feather River system is  
12 completely run of the river.

13 You look at our Drum System, which makes up  
14 roughly 200 megawatts, is very much the flume Gold Rush  
15 era system that doesn't have very much flexibility to  
16 it.

17 CHAIR WEISENMILLER: Okay, thank you.

18 COMMISSIONER RANDOLPH: I have a question for  
19 Mr. Lawlor. You talked about doing centralized local  
20 capacity procurement. What do you envision that would  
21 look like?

22 MR. LAWLOR: I think it could resemble many  
23 things. It could be CAISO procuring through local  
24 areas. It could be a transmission PTO procuring for the  
25 local areas. I just really go to the, if we have very

1 disaggregated load, how do we come up with the most  
2 efficient resource mix, with that challenge of the long-  
3 term reliability.

4           And when I step back from that, I don't know  
5 that what we're doing with the backstop and the bundled  
6 local areas will be the most efficient outcome. I think  
7 what's going to happen there is a lot of too much  
8 procurement in one local area, which then is complete  
9 compliance, and a lot of CAISO backstop.

10           And, so, I just look at how I've procured, when  
11 we were at the majority of load, to make sure that we  
12 hit all the areas. And the fact that the rules don't  
13 really line up with that objective today. And  
14 especially with, you know, a short-term program where  
15 resources would be procured different yearly,  
16 potentially, depending on how the future goes.

17           COMMISSIONER RANDOLPH: So, it's kind of one of  
18 the big fundamental questions is the sort of the system  
19 is really changing rapidly, in ways that we're trying to  
20 anticipate. Are there opportunities, that we're not  
21 considering, to sort of make the RA program, and the  
22 CAISO's backstop procurement work better together? Are  
23 there processes that we're not considering that might  
24 deal with some of these year-to-year uncertainties?

25           MR. SMITH: Commissioner, it's Mark Smith. Can

1 I help with that answer? I'm not sure that there are --  
2 in terms of the local area requirements, yeah, things  
3 change around the edges. You know, as the ISO may build  
4 a new transmission project, as the ISO may redefine the  
5 local area for any variety of purposes. But the base  
6 requirements are fairly stable over time.

7 And, so, I think that what Mr. Lawlor is saying  
8 and certainly what I would say is the disaggregation of  
9 buyers creates transparency issues so that no one buyer  
10 is really certain that they've met all of the, not only  
11 greater Bay Area requirements for instance, but each  
12 sub-area's requirements.

13 And in doing so, you could meet the aggregate  
14 goal, but not meet the individual goals and, therefore,  
15 require backstop procurement.

16 And, so, I think, you know, what I would say is  
17 that what we should consider doing is enforcing all of  
18 those local sub-area and individual local area  
19 requirements.

20 CHAIR WEISENMILLER: My question for the  
21 utilities, has anyone done an intermediate procurement  
22 since 2014, or do you expect doing one every again?  
23 And, please, on the record and in the microphone.

24 (Laughter.)

25 MR. LAWLOR: PG&E's last procurement was in

1 2014. I don't anticipate a need to do anything besides  
2 short term, small, hourly, monthly procurement. Except  
3 for sales, which I do expect that we'll be doing more  
4 and more sales.

5 CHAIR WEISENMILLER: How about San Diego or  
6 Edison?

7 MR. KRUGER: I'm not directly involved, but I've  
8 been there for a number of years and I haven't noticed  
9 any intermediate term procurement, just our annual  
10 process the last few years.

11 CHAIR WEISENMILLER: Edison?

12 MR. LITTLE: For Edison, our structure of  
13 transactions has changed quite a bit. We used to do  
14 quite a bit of procurement that was all source. There's  
15 a lot of that procurement, now, that's moving over  
16 towards specific directives, such as RPS, such as  
17 battery storage, those types of things.

18 I do not know the specific answer to your  
19 question. I don't know how long it's been since we've  
20 done one. I know that since I've been there it's been a  
21 while for us to do a procurement of RA resources, and in  
22 multi-year forward fashion. And I do not know what the  
23 position looks like to where they will be doing that in  
24 the future.

25 So, I'm sorry that I don't know the answer to

1 your question, but it has changed.

2 CHAIR WEISENMILLER: Well, it would be good,  
3 just in terms of -- when you get to your written  
4 comments, it would be to clarify. Obviously, at one  
5 stage you were doing long-term procurement out of the  
6 LTP, but that was only for new resources. And then you  
7 had under the bilateral some multi-- you know, less than  
8 five-year contracts. And, then, you have the annual RA.

9 It sounds like at this point, aside from some  
10 legacy bilateral contracts, the only thing in town is  
11 the RA. It would be good to clarify that on the record.

12 MR. LITTLE: I will check with our RA folks and  
13 we'll get it in written comments.

14 CHAIR WEISENMILLER: Okay.

15 VICE PRESIDENT DOUGHTY: So, an observation. In  
16 listening to Mister Smith and Theaker, some numbers  
17 that struck me. The progression of the shutdown of  
18 plants here. Brian, you mentioned 9,500 megawatts in  
19 '15, 8,500 in '16, and 7,000 this year, with a possible  
20 2,600 remaining in 2020. That's a precipitous decline.

21 And I expect that Mark is seeing some of the  
22 challenges. And when we see numbers of that scope,  
23 going from 9,500 in '15, to 2,500 in '20, that's a  
24 significant indicator.

25 I don't know that I have a question based on

1 that, just an acknowledgement of the scope of what you  
2 represented there.

3 MR. THEAKER: Tom, thanks. This is Brian  
4 Theaker. Yeah, we're well aware of the trend, and  
5 perhaps painfully aware of it. But, you know, I think  
6 those numbers represent -- the '20 number obviously  
7 represents a view of the future.

8 But given the changing nature of the fleet,  
9 especially the OTC retirements, a number of commenters  
10 have made the point that right now we have an issue with  
11 flex characteristics, because we have a lot of long-  
12 start units that provide a lot of flex. I think that's  
13 a self-correcting problem. I think when the steam  
14 turbines go away as a result of the implementation of  
15 the once-through cooled policy, that problem will have  
16 been solved.

17 So, I'm not yet persuaded that we need to do  
18 something special. I think that's a natural process of  
19 attrition that's going to happen. But I'll confirm your  
20 numbers or your perception to the numbers. It's a  
21 significant drop.

22 MR. SMITH: Thanks, Tom. It's Mark Smith with  
23 Calpine. I don't have numbers like that to predict.  
24 But this, I will say, that most of our resources are all  
25 built in the same time frame. They're based on largely

1 the same technology. They all face exactly the same  
2 marginal costs, and most of them need uplift right now,  
3 those that aren't on long-term contracts.

4 So, but for local reliability needs, and some  
5 alternative form of contracting, probably an  
6 administrative vehicle at this point, you know, it may  
7 be unfair to count on those resources being available,  
8 you know, beyond the near term.

9 VICE PRESIDENT DOUGHTY: And for us, looking at  
10 2017, 2020 and beyond, one of the things that becomes  
11 most challenging is the scope of the ramp. Right, we're  
12 looking at ramps, now, of 10,000 maybe 13,000 megawatts.  
13 And into 2030, it wouldn't be out of the question to see  
14 ramps of 20,000 megawatts.

15 So, when I start talking with you guys about  
16 numbers of this scope, units that we'd be calling on for  
17 that ramp support, that's where the concerns begin to  
18 become real.

19 MR. BLUE: Just kind of a follow up to my  
20 colleagues down to my right here. The issue of do you  
21 have to do anything with the long-start generation that  
22 CAISO reflects, that it will naturally take care of  
23 itself, I guess when you say that on one hand, and yet  
24 on the other hand you're extending the same plants  
25 beyond their OTC dates it's kind of a conflict there.

1           And people right now are in a situation where  
2 they can't wait two or three years for this to happen,  
3 in 2020. And, so, the question is what do you do in  
4 this short-term period, between now and let's say three  
5 to five years, when you have the OTC plants leaving,  
6 you've got the energy storage balance, you know, market  
7 coming up to scale. You've got the cost allocation  
8 issues, which are a huge issue to the utilities, how  
9 they're going to do that going forward. You've got a  
10 lot of things to resolve.

11           And if we want to wait until we get all that  
12 resolved and then implement, you are going to have  
13 generation retirements and those are going to affect, as  
14 I said earlier, your forward -- all three of you are  
15 doing long-term forecasting and you're including  
16 available capacity that could just meet -- we saw this  
17 morning that they're short, already, starting in 2018,  
18 but they have plenty of available capacity there to  
19 close the gap, uncontracted.

20           That's going to drastically change. So, I'm  
21 just saying, I agree, it is going to take care of  
22 itself. Can we wait that long is the question? Some of  
23 us can't.

24           MR. THEAKER: Yeah, Tom is Brian Theaker, if I  
25 can follow up. I agree with everything Greg said. And

1 I would also, probably offer that maybe a conversation  
2 around flexible characteristics is akin to a  
3 conversation around the order of the deck chairs on the  
4 Titanic. Because at present the system is so long in  
5 that attribute that it has no incremental value.

6 And we're also waiting for first numbers from  
7 the ISO on the performance of their new spot market  
8 product, the flexible ramping product. But again, the  
9 predecessor product that the ISO had implemented, by the  
10 time that product had matured, it was throwing off a  
11 very di minimis amount of cash, something on the range  
12 of \$10 million a year, to fleet wide.

13 And so, we do have this transition period where  
14 the attribute is important, but we are still long in it  
15 to the point that it's not important enough, it's not  
16 valued enough to make a difference in the revenue  
17 adequacy for these resources.

18 CHAIR WEISENMILLER: Yeah, for long. But, you  
19 know, the bottom line is we need some plants to retire.  
20 You know, sort of particularly some of the older plants  
21 need to retire, particularly in some of the areas where  
22 we have excess capacity.

23 COMMISSIONER RANDOLPH: I have a question for  
24 Mr. Little. We -- you were talking earlier that SCE's  
25 position is at this point in the RA proceeding is not

1 requesting multi-year, but sort of it's a goal in the  
2 future. Kind of what do you see as the kind of  
3 conditions precedent that you would want to see happen  
4 before your company feels comfortable saying, yes,  
5 that's something we're interested in?

6 MR. LITTLE: Oh, thank you, good question. I  
7 think there's a couple of things. One is having a  
8 stable rule set around what is going to count for  
9 resource adequacy. So, the big changing point right now  
10 seems to be flexibility. Right. Is it going to remain  
11 a three-hour product, is it going to be something else?  
12 That's a significant issue.

13 If we were to have a multi-year forward program  
14 right now, and buy a resource that counts as a system  
15 resource and a flexible resource under the current  
16 rules, and we buy it for five years forward, and find  
17 out in a year that it no longer does, now the question  
18 is, well, we may not have enough room in our portfolio  
19 for another just generic system resource for five years  
20 forward, and now we're buying something else at the cost  
21 of ratepayers.

22 So, having some stability around those sets of  
23 rules is important. And I think the second piece is the  
24 cost allocation that I mentioned earlier, of ensuring  
25 that we have a reasonable cost allocation methodology to

1 ensure that if a resource is being bought by an entity,  
2 for the benefit of all customers, that it's being paid  
3 for by all of those customers.

4           And we have that mechanism. As you well know,  
5 it's a rather controversial mechanism, and there's  
6 always a lot of talk about it.

7           So, you know, Edison does not object to  
8 procuring resources for those types of benefits,  
9 provided that they are paid for by all of the customers  
10 that benefit.

11           So, I think those two pieces are really the most  
12 critical.

13           MR. KRUGER: This is Vic Kruger, from San Diego  
14 Gas & Electric. I'd like to support Eric's statements  
15 on that.

16           And one further point about these rule changes.  
17 Just as an example, right now we're looking at  
18 unbundling the local attribute from the system  
19 attribute, for RA showings and things like this. It may  
20 seem like a minor thing, but this uncertainty makes it  
21 very difficult to go into a multi-year RA process, when  
22 you don't know what you're going to contract for, what  
23 you're going to need to show. Can a locational  
24 attribute for a generator be split up, such that it's no  
25 longer local, even though it's in the local area? And

1 is it meeting the needs for that area?

2           So, a lot of these details have to be ironed out  
3 before you can really, fully support going out long term  
4 and taking the risk of contracting this out several  
5 years, when you know maybe the attributes will change  
6 such that you're going to have to change your portfolio,  
7 and have extra cost to make you've got the then-current  
8 attributes covered.

9           MS. JONES: So, there were a number of questions  
10 that came to mind. In particular, I wanted to ask Mark  
11 why do you continue to generate?

12           (Laughter.)

13           MR. SMITH: Well, like it or not, I signed a  
14 participating generator agreement. And, therefore, I  
15 really have no choice in this market. You know, that's  
16 the fundamental reason.

17           But you're right, it's an honest question. Why  
18 in the world would somebody continue to operate a  
19 generator when the best outcome that you have is to  
20 recover your variable costs. You get virtually no  
21 contribution to either a return to, or a return of your  
22 stakeholders -- or shareholders' investments.

23           You know, we're in the local reliability areas.  
24 We know our role and we're not out for the societal  
25 good. We're a profit-making entity. But we understand

1 that our units are critically needed for the reliability  
2 of the grid.

3 We'd much rather solve this problem than create  
4 any kind of Brinksmanship.

5 MR. BLUE: So, a quick follow up. One thing  
6 slightly different from a peaker plant point of view,  
7 versus a larger plant, the larger plant really can't be  
8 picked up and moved. They're kind of here.

9 The smaller plants, they are derivative  
10 turbines. They actually can be located. And the exact  
11 plants that you actually do need are the easiest ones to  
12 be relocated.

13 MR. THEAKER: Thank you. And sorry to the folks  
14 on the phone, who have to listen to the sound of the  
15 microphone being passed. This is Brian Theaker, with  
16 NRG.

17 I wanted to respond to the question you posed to  
18 Mark. It's a difficult question. Questions around the  
19 timing of power plant retirement are very difficult  
20 because you're talking about long-lived assets, that  
21 have community relationships, that have staffs. They're  
22 not questions that are faced cavalierly. They're  
23 difficult decisions that are emotional and, you know,  
24 are tough to make.

25 The question, why do plants continue to run when

1 the economics would suggest otherwise? I think some of  
2 that is, you know, hanging around, waiting for the  
3 fundamentals to change, for the system to get tighter.  
4 For, you know, flex to have some value, I think that's  
5 part of it.

6           You know, I think that the uncertainty around  
7 where this is all headed is part of it as well. Is, you  
8 know, you don't want to -- if there's a party coming, we  
9 don't want to miss it. So, it's a complex decision  
10 that's not considered lightly. And retirement decisions  
11 are tough to make. I think that adds to the angst of  
12 why are we over in supply.

13           MR. SMITH: Piling on, I guess, this is Mark  
14 Smith again, with Calpine.

15           Piling on to that and transitioning to what we  
16 might like to see in the future. These decisions are  
17 very tough and it requires a pretty long runway to be  
18 able to understand the need for a unit, and what steps  
19 need to be taken to execute that retirement.

20           Or, in order to execute a plan for continued  
21 operation, if the plan is otherwise uneconomic, but the  
22 ISO is going to deem it to be needed.

23           And, so, one of the things that gets in our way  
24 is the current RA contracting process. And as Tom  
25 indicated earlier, the fact that that process initially

1 completes itself in maybe October of every year, but  
2 then it goes to the ISO for another month or two, with  
3 deficiency analysis and deficiency reviews. So, it's  
4 very, very possible that a resource that is, you know,  
5 in question about retirement will be forced to continue  
6 to operate until the last week in December -- that's an  
7 exaggeration. Maybe early December. Not knowing  
8 whether it's going to be needed January 1st.

9           So, in order to provide a runway for people to  
10 make decisions on retirement, Calpine would like to see  
11 a much more advanced review of reliability needs. Which  
12 then, going to someone else's point earlier, could then  
13 fit into, maybe, the RA mechanism, so that resource was  
14 already known to be acquired or purchased by the ISO.

15           MR. CUMMINS: So, why would a resource like a  
16 peaker continue to stay around when it's just barely  
17 making enough money to keep the doors open, or not even  
18 keeping the doors open?

19           There's, depending upon where you are, there's a  
20 huge value to an existing and viable interconnection.  
21 And the cluster process has a very long duration for the  
22 interconnection of new resources. So, people that have  
23 existing assets, with existing interconnections, they've  
24 already gone through a lot of the barriers to entry of  
25 new megawatts.

1           So, where you have a peaker, you could redeploy  
2 that connection, that interconnection with a new  
3 technology, or an updated technology. So, if you're  
4 able to pay the bills and keep the business alive, and  
5 you should, then you may have economically efficient  
6 repowerings with storage or enhanced gas turbines.

7           MS. JONES: Great. Thank you. So, some of what  
8 I've heard is that we're looking at an issue that might  
9 be a three to five year issue, and there might be some  
10 dispute on that.

11           Having been around in this business for a long  
12 time, this seems to keep recurring, and we seem to keep  
13 -- every, you know, few years we get into a situation  
14 where we're relying on reserve margins, but we don't  
15 have resources locked in for a midterm.

16           Do you think that there's an ongoing need for a  
17 product that's three to five years, or a process that  
18 is? Or, do you think that the changes are such that  
19 that's not going to be an issue in the future?

20           MR. LITTLE: This is Eric Little, from Edison.  
21 I'll give it a shot. In the immediate future, you might  
22 get out of the problem as you start to move towards more  
23 and more RPS types of resources, more and more battery  
24 storage types of resources. Where, to get those  
25 resources built you are signing ten-year contracts,

1 plus.

2           And, then, once you have those all operating,  
3 and if the need of the system is not changing, there  
4 won't be additional resources that are needed. They're  
5 all funded because they have a multiple-year contract.

6           But, eventually, those start to come off  
7 contract again, right? And it's the same problem here.  
8 We experience it with gas resources. We do -- like,  
9 back in the day it was LTTP, now it's integrated  
10 resource planning. You do that ten-year deal, and once  
11 that ten-year deal is over, now that resource is out  
12 there in the market and it doesn't have any sort of a  
13 multi-year requirement to go along with it.

14           So, can you make that problem disappear in the  
15 short term? Quite possibly, through these longer-term  
16 solicitations that we're doing for other purposes. Will  
17 it recur? Most likely, as you stop doing those long-  
18 term procurements.

19           MR. BLUE: Yeah, I think they're -- as I stated  
20 earlier, we believe there is a need for a three to five  
21 year product, or at least a multiple year product. And,  
22 of course, we think it needs to be now.

23           Part of the reason is that these plants have  
24 different types of maintenance. They've got your  
25 regular maintenance, then you have long-term

1 maintenance. Longer-term maintenance are replacement  
2 and/or even upgrade to the facility to help it have  
3 other characteristics.

4           These are types of things that you aren't able  
5 to recover in a one-year contract. So, you come up to  
6 where you have to do a major maintenance. And the  
7 reason that's all important is because the existing  
8 contract, existing power plants have a much different  
9 power plants have a much different cost structure than  
10 new build. And if you lose the existing plants, you're  
11 going to be stuck with new build. The time and the cost  
12 going forward with that.

13           So, we think -- we, as I said before, I believe  
14 that there should be some sort of a three to five year  
15 program. We look at it as an insurance policy for  
16 reliability, while you're sorting out all of these other  
17 issues that everybody's talking about.

18           MR. SMITH: And let me add just sort of a  
19 related point here. That in some of the other markets  
20 there's a three or four price signal. You know, it's a  
21 capacity market in many of those years.

22           And that three or four price signal and award  
23 gives you transparency in terms of the need of your  
24 resource. It allows you to make reasoned decision  
25 making between now and the three-year time cycle.

1           Or, on the other hand, if you are not awarded  
2 one of those capacity contracts, or in the analogy here  
3 in this case, a contract with an LSE or an SCCA, you're  
4 allowed to take the steps that you need in order to  
5 manage your -- reasonably manage your removal or de-  
6 listing from the market.

7           I think, therefore, that it makes a lot of  
8 sense. In the East they've been, I think most people  
9 would say, highly successful in managing the over-  
10 capacity situation and reductions that have occurred, as  
11 the secular change there moved from coal to gas. And  
12 many, many coal-fired plants have been shut down, to the  
13 benefit of many folks.

14           It's not an uncommon situation and it shouldn't  
15 be new to us that those kinds of forward price signals  
16 are what's needed in order for people to make rational  
17 business decisions, in terms of ongoing operation.

18           MR. THEAKER: Thanks, Melissa. Brian Theaker  
19 with NRG. Not to turn this into a Howard Johnson as a  
20 right moment, but I will. I agree completely with Eric.  
21 He pointed out, clearly, that we've kind of got a blind  
22 spot between the one-year RA look ahead, and the 10-year  
23 LTPP. And I think something in the middle, we've talked  
24 about it for a long time and haven't done much about it,  
25 I think it's important to cover that blind spot.

1           And I also agree with Greg. Generating units  
2 have lumpy revenue requirements associated with major  
3 maintenance. And I think that's absolutely a reason why  
4 a one-year cliff doesn't get you to the kind of rational  
5 and meaningful decisions. You know, you need a longer  
6 runway.

7           MR. LITTLE: Just one more thing, real quickly,  
8 just to make sure that it's clear. When I was talking  
9 about you might be able to get rid of the problem  
10 temporarily, with the long term, I also don't think that  
11 having an intermediate term ends up becoming  
12 duplicative, necessarily. You won't end up procuring  
13 twice the number of resources.

14           If I've got a five-year forward requirement that  
15 says I need to procure 20,000 megawatts, just as an  
16 example, and I've got a ten-year forward requirement  
17 that says you need to procure 4,000. That 4,000 is  
18 going to count towards that interim term, 20,000  
19 megawatts, as well. It's not that I have to just ignore  
20 that and go buy more resources. So, we're not talking  
21 about the potential of over-procurement here. How these  
22 things would count, and that needs to be there.

23           But if what we're trying to address is, you  
24 know, I don't need the resource this year, necessarily,  
25 but I do need it in three, four or five years, and if I

1 don't do anything about it now, the resources may not be  
2 there in three, four, five years, then that program  
3 should be addressed. And, again, it does not run into  
4 conflict with the long-term program.

5 MS. JONES: Thank you. So, we've talked some  
6 about time frames, and some people have mentioned  
7 needing different products. How do you see offering  
8 different products, including some of the ancillary  
9 services, as contributing to your ability to stick  
10 around?

11 MR. BLUE: Well, we have the capability of  
12 making upgrades to our plants, too, so we could offering  
13 spinning reserves, for example. But we can't make that  
14 upgrade with a one-year contract.

15 MR. THEAKER: Melissa, this is Brian Theaker  
16 with NRG. It's a great philosophical question. I think  
17 it's one that I perceive that we've largely answered as  
18 State policy.

19 You know, California made the decision, and I  
20 agree, with the highly successful implementation of the  
21 RA program, that we were not going to trust the  
22 reliability of the needs of the State to the spot market  
23 resources.

24 You know, we've got folks within NRG who are on  
25 both sides of that academic question. You know, if a

1 spot market, with very high price caps is the right  
2 structure, or whether long-term forward, you know,  
3 capacity contracting is the right structure. So, I  
4 won't try to settle that debate.

5 But I think the reality is that if you look at  
6 the ISO's ancillary services markets, I think for 2016 -  
7 - well, I don't know the 2016 numbers, the report hasn't  
8 come out. I think the total value in that market for  
9 2015 was about \$50 million, which is not very much  
10 value.

11 And that's a trend that we have seen for the  
12 last ten years. It was a lot higher than that in the  
13 early 2000s and, of course, across the energy crisis.  
14 But there just isn't the kind of monetary inertia in the  
15 spot market that would sustain resources.

16 The question that Melissa asked, and I think she  
17 was looking at me, was do I think they're priced  
18 properly? Well, I think we have a fundamental problem  
19 at this point. Commissioner Weisenmiller, you know,  
20 acknowledge we're very long. And, so, we don't have the  
21 kind of supply/demand equilibrium that would bring  
22 prices to the levels that would be meaningful.

23 I think it's primarily a fundamental issue with  
24 supply, as opposed to a price design issue at this  
25 point.

1           MR. LITTLE: Melissa, can I comment on that?  
2     So, I think I'd like for us to think about this a little  
3     bit differently. Energy markets and ancillary service  
4     markets are operational markets. And, typically, what  
5     we see there in prices is the marginal cost to provide  
6     an increment of energy.

7           And ancillary services, a lot of times what  
8     we're really talking about is the opportunity cost.  
9     What could I have done with that resource, had I not  
10    provided the capacity associated with it to provide  
11    energy, if it's needed at some other point in time. And  
12    there's an opportunity cost of doing that.

13           That, competitively, is how those things get  
14    prices. And I think what we've heard here, today, is  
15    that the way that the market ends up clearing, you don't  
16    get enough money out of that to be able to make the  
17    upgrades necessary to a facility over a longer period of  
18    time to keep it economic.

19           So, while you're meeting your short-run marginal  
20    cost, it's really much more about the medium- to long-  
21    term marginal cost that's not being recovered. And  
22    that's where some idea of a capacity payment comes in.  
23    And that's where we say, okay, well, a one-year forward  
24    RA program, which is a capacity payment, is not enough  
25    of a guarantee for somebody to continue to be able to

1 invest in that plant, hence the multi-year.

2           So, I guess from Edison's stand point, I don't  
3 think it's an ancillary services issue. If the ISO has  
4 the sufficient resources to be able to provide ancillary  
5 services, and they're operating that in the market,  
6 we're fine.

7           If the ISO, on the other hand, is saying you  
8 know what, there's not enough resources on the grid that  
9 can provide ancillary services, then we have a different  
10 issue. But I'm not hearing that there's not enough  
11 resources around that can actually provide the ancillary  
12 services.

13           MS. JONES: We talked mainly about -- oh, go  
14 ahead.

15           COMMISSIONER RANDOLPH: I have a question. So,  
16 if there were multi-year RA, given the current supply  
17 that's out there, is the market going to support that?  
18 Is it going to be profitable enough to have the result  
19 that you want?

20           MR. BLUE: We think so. If the alternative is a  
21 one-year contract or no contract, yes. I mean, I don't  
22 know if that's a good enough answer but --

23           CHAIR WEISENMILLER: Yeah, but again, if you  
24 think about the eastern capacity markets, if you go  
25 above a certain level, the value capacity's zero. We're

1 certainly above the level of reserves were the answer  
2 would be zero, if we had a market for that.

3           So, again, it's not necessarily the question of  
4 whether, say, we have a capacity market or not, you  
5 know, we have excess capacity. Until you get the excess  
6 capacity down, the answer's going to be zero.

7           MR. SMITH: It's Mark Smith with Calpine. I  
8 don't think this is the first time you've heard this  
9 from Calpine. We do think the market is a bust. We're  
10 not convinced at all that a multi-year contract,  
11 especially if it's only for a portion of the LSE's need,  
12 which is probably already going to be covered by  
13 utility-owned generation, is going to create a price  
14 signal that's going to be sufficient for us to continue  
15 operations.

16           That's one of the reasons why, in addition to  
17 offering prices for our peakers, that we thought were  
18 reasonably compensatory, and having those rejected, we  
19 finally turned to the ISO and said, these units are  
20 going away, unless something else -- unless you find a  
21 reliability need and designate them as RMR.

22           So, Commissioner, I would like to be optimistic  
23 and say a three to five year contract, alone, might  
24 solve my problem. But I believe administrative  
25 solutions to this market, quote/unquote market, might

1 end up being the rule of the day. I'll leave it at  
2 that, at this point.

3 MR. CUMMINS: Yes, I'd like to offer an idea. I  
4 think that the idea of the three to five year contract,  
5 if you're talking about for all sources of RA, all types  
6 of facilities, I don't think that that's what we're  
7 trying to get at.

8 I think what we're trying to get at here is that  
9 there's an asset class of assets that are unique in  
10 their ability to get out of the way of renewables, and  
11 be there very fast when you want them. And targeted --  
12 targeted three to five year contracts that give you what  
13 you need, the quick shot in the arm, that's what I think  
14 we're talking about.

15 I think, so, it's probably creating a new tier  
16 of RA that presently doesn't exist. The RA that exists  
17 today is sufficiently broad that it sweeps a lot of  
18 different asset classes together, and creates a  
19 different market dynamic than if you were to look at  
20 this from an asset class perspective.

21 The other thing that I wanted to get at was, in  
22 answer to your question about the ancillary services,  
23 and I had suggested in my opening comments that for  
24 certain assets a minimum wage approach might be  
25 applicable.

1           Now, my colleague to my right suggested that  
2 when bidders are bidding, they're bidding essentially  
3 their opportunity cost. But a minimum wage gets at the  
4 opportunity cost of the CAISO for those assets to be  
5 around or to keep those assets around.

6           So, we have two players in the market. A bunch  
7 of people that are bidding and one buyer. Each of them  
8 as an opportunity cost and they're different. So, we're  
9 talking about maybe a switch of emphasis from the  
10 opportunity cost of a larger group to what the real  
11 opportunity cost is to the CAISO.

12           MR. THEAKER: Yeah, thanks, Brian Theaker, NRG.  
13 I'll follow up. You know, clear, I think we all  
14 understand that multi-year forward contracting is  
15 available, now. The utilities, by and large, have the  
16 discretion to do that. The question is do they always  
17 contract with the right resources? Sometimes they  
18 don't, because they probably don't know what the  
19 resource, the right resources are. Because, again,  
20 we've got that blind spot between one-year RA and ten-  
21 year LTTP.

22           You know, I think our conversation around how do  
23 we discern what the right resources are is going to be a  
24 fascinating conversation. And I think I tend to agree  
25 with Mark that answering that question is going to take

1 us more towards an administrative price, than a market,  
2 per se. Because at that point you're going to identify  
3 resources that you need. That raises the specter of  
4 market power. And, you know, so bilateral pricing at  
5 that point may or may not be possible.

6 But I do believe that this vehicle is what we  
7 need. I think the pricing will follow once we get the  
8 process design in place. And I think that we still have  
9 a fair amount of work to get the process design.

10 Because answering the question what are the  
11 right resources is not a trivial or simple matter.

12 MS. JONES: So, to get a little bit more at the  
13 missing money issue. Are there services or attributes  
14 of your generators that don't have formal products, that  
15 would be helpful for you?

16 MR. THEAKER: Thanks, Melissa. Brian Theaker.  
17 You correctly discerned that I can't stand awkward  
18 silence, less than any of my panelists.

19 I will point out one particular attribute that I  
20 think we need to think more about its value, and that's  
21 duration. I think that, for example, NRG is very  
22 bullish on energy storage. We think energy storage has  
23 the potential to be a really important and critical  
24 piece of solving the issue of the duck belly, and what  
25 to do about that.

1           But we're not yet persuaded that energy storage,  
2 even four-hour storage, in and of itself, is always the  
3 right fit for a reliability situation, where you've got  
4 a transmission constrained area, where you may not be  
5 able to -- I mean, the duck curve problem is an issue of  
6 a diurnal pattern where it's relatively easy to figure  
7 out when to charge and discharge the device.

8           Applying energy storage to a local area  
9 reliability need I think is a different -- well, a bird  
10 of a different feather, if I can use a bad analogy.

11           So, there isn't a product that values duration,  
12 but I think it's an important service that we need to  
13 bring into the conversation around, that we're having  
14 now, about what assets do we think we need to keep.

15           MS. JONES: So, we've heard quite a bit from the  
16 generators and from utility, but from the other  
17 utilities' perspective, how do you see the needs?

18           MR. KRUGER: This is Vic Kruger from San Diego  
19 Gas & Electric. On that last question, we've seen the  
20 Cal ISO institute some products in the last few years,  
21 you know, mileage on regulation, and other things. I  
22 really don't want to see another product created that's  
23 going to be an over-supply, because we haven't had any  
24 retirements, and it's got zero value, and it really  
25 hasn't solved the problem. And may even make the

1 problem worse because it gives a signal to the market  
2 that this is worthless, so too much exists. And then,  
3 all of the sudden, the other stable price is infinity if  
4 you've got too little of a product, and there's zero if  
5 you've got too much of it.

6           So, I think it's a timing issue. And I think  
7 this whole forum is trying to create a roadmap to get to  
8 a stable, new equilibrium. We know we're out of sync  
9 right now, but how do we get to that new, stable  
10 equilibrium that we think we need in 2020, or 2025, or  
11 whatever it happens to be, and work towards that.

12           MR. LAWLOR: Joe Lawlor, PG&E. So, similar to  
13 Vic's comments, I don't necessarily see new products  
14 being the solution. But what we have is if I used a  
15 flex product, for example. Just a very product, three  
16 hours. So, if we really need some fast flexibility,  
17 we've created a very broad product. And the result is,  
18 incrementally, it's not worth much. That's kind of what  
19 I'm hearing. And I tend to agree with that.

20           So, if there are necessary products, we might  
21 need to tighten them up so that they create the value.  
22 The market is long in many places. So, there is some,  
23 hopefully, orderly retirement that happens.

24           But I think, and then I go to personal opinion,  
25 then how do you get to the market and regulatory

1 mechanisms to create the right retirees versus the right  
2 ones to keep? And that becomes tougher with things like  
3 bundled other areas. And a very diverse procurement  
4 structure.

5 And that's to where I to go maybe the Eastern  
6 markets have a little bit of an easier time looking at  
7 and balancing all the constraints, and putting out some  
8 multi-year signals to help the whole market move in the  
9 right way. But I'm sure there's other ways to do it.

10 But that's really where I'd go. I wouldn't  
11 necessarily go looking to add another product on. But  
12 you might need to review the products we've got and the  
13 conditions behind them to make sure they're as tight as  
14 we need them to be.

15 MS. JONES: Okay, great. Thanks. And just a  
16 follow-up question. If you were king, how would you  
17 determine which plants need to stay and which plants  
18 need to go?

19 MR. LAWLOR: So, King Tom.

20 (Laughter.)

21 MR. LAWLOR: I got to go to, you know, who has  
22 the best view of all the contingencies, and all the  
23 plants, and the economics of them? Somebody needs to  
24 help with that answer. And I do think that this becomes  
25 more challenging, like I say, as different people

1 procure. Because I used to have a whole lot more  
2 information to make tradeoffs.

3           You know, the local reports that they put out  
4 have efficiency factors, right? So, I would know, if I  
5 had a very large portfolio, which units I've procured in  
6 different areas, and which efficiency factors, and could  
7 come up with some assumption as to what backstop might  
8 or might not look like.

9           And I just go to, as we have many people  
10 procuring, which is a direction, you know, that I'm in  
11 support of. But as we do it, do we need to have these  
12 changes in the markets to say, well, how do we get that  
13 efficiency back? And it might be that somebody who has  
14 that larger view and can balance this stuff could help  
15 with how to select that.

16           Right now, I think I heard somebody say, you  
17 know, when CAISO -- when IOUs do it, we know when IOUs  
18 do something, we have an independent evaluator and we  
19 respond to lower prices, although we could consider  
20 these other things. I think, going forward, we don't  
21 have that view and so you move even farther away from  
22 what we could consider. That's if I was a buyer. I'm a  
23 seller.

24           MR. LITTLE: And this is exactly what I was  
25 talking about in my opening few minutes is that we have

1 a -- Commissioner Weisenmiller hit it right on. We've  
2 got resources that are unnecessary. We also have  
3 resources that are very much necessary.

4 The problem is the current mechanisms don't  
5 decide which ones are necessary and which ones are not.  
6 We don't do that, expect for the ten-year forward  
7 process. On the yearly process, we simply say there's  
8 an amount of quantity, go get this.

9 What we really need is what I had mentioned  
10 earlier which is, look, there's a certain set of  
11 attributes that I need, and I'll give a more specific  
12 example. Flexibility, so far, has been stated by the  
13 ISO to be a system need. So, I can use any resource, as  
14 long as it's flexible, as long as it can meet this ramp  
15 and there's criteria for doing that.

16 That's the type of thing that you can say here's  
17 the quantity, the market, go get it for me.

18 There's other resources, for example local. I  
19 know that Michele had her chart up there that showed the  
20 local requirement and the local resources, and there's  
21 one in there where the local resource is actually fewer  
22 megawatts than what they need.

23 And, so, in those situations there's an obvious  
24 answer. Well, I need those resources, specifically.  
25 And, so, that's the category where, then, the ISO can

1 identify, no, I've got a specific resource that's needed  
2 for the following transmission system contingencies.  
3 that needs to be procured, and that's the type of  
4 situation where instead of saying, market, go get this  
5 for me, because it's hard for, I think Michele also  
6 said, 25 load-serving entities. It's hard for 26 load-  
7 serving entities to go do a contract with one resource.

8           So, that's a situation in which you say, okay,  
9 the utility then is going to go procure that resource  
10 and cost allocate that resource. That way you have the  
11 correct resources, the ones that are needed for local  
12 reliability. You have the correct resources for  
13 ramping. You procure them in different manners, but you  
14 ensure that they're there.

15           Whatever's not covered by that, presumably,  
16 then, is the set of resources that is in excess of what  
17 you need, and those can retire.

18           MR. THEAKER: Brian Theaker. Melissa, this is  
19 the simplest question you asked all day, but I think  
20 that the answer that I would give you, if I were king,  
21 what resources would I keep, would be a little different  
22 on behalf of NRG's shareholders, that it would be for  
23 Mark's answer, on behalf of Calpine's shareholders.

24           So, having said that, I'll dovetail what both  
25 Joe and Eric said. I think this is going to have to be

1 a multi-faceted look. And I know that in terms -- that  
2 LCBF is kind of a four-letter acronym, and our  
3 experience with LCBF hasn't always been the shining  
4 example on the hill. But I think it's that kind of  
5 look, is to look at resources that don't just meet one  
6 narrow need of the system, but can be applied across a  
7 spectrum of needs to meet local requirements to meet  
8 flex, to meet a bunch of things.

9           And then, you know, I'm just making this up,  
10 then maybe you'll end up with some kind of graduated  
11 scoring across these categories that leads you to some  
12 idea of what we think the right, and I'm using your  
13 quotes here, resources are.

14           MR. BLUE: Greg Blue, with Cogentrix. If my  
15 plants are not needed, I would rather know sooner,  
16 rather than later. So, I'm concurring with what I heard  
17 today. I mean, I'm told that our type of technology is  
18 needed. But if it's not needed, if a specific plant is  
19 not needed, I would rather know sooner, rather than  
20 waiting until the end of the year, on an annual basis,  
21 to figure out if we're going to live the following year  
22 or not. So, I concur with that.

23           MS. JONES: So, this morning there was mention  
24 of the ISO's long-term economic outage, and it looks  
25 like it bridges the gap between six months and a year.

1 How do you react to that? How valuable is that?

2 MR. THEAKER: So, Melissa, Brian Theaker with  
3 NRG. I'll give you our take on this issue because I  
4 think we were the ones that raised in the -- this was in  
5 the La Paloma filing a couple years ago.

6 Our point to this was if the resource is not  
7 encumbered by RA, if it's not got some kind of forward  
8 contracting, that resource should be able to take any  
9 kind of outage, any time it wants, without penalty.

10 And the ISO's tariff, I mean the ISO's got this  
11 handcuff's on. It's not the ISO's fault. But the ISO  
12 does not recognize that kind of outage. If you're a  
13 participating generator with the ISO, I can go request  
14 an outage from Tom, from a number of categories, but  
15 economics is not one of them.

16 And, so, we just -- and the ISO has committed to  
17 reevaluating this. They're going to launch a  
18 stakeholder process this year. So, we're looking  
19 forward to that conversation. But we think it's as  
20 simple as what's the ISO's role in approving an outage  
21 for a non-contracted unit? We think it has no role, but  
22 they should be able to take it.

23 Well, I don't want to prejudge how the  
24 stakeholder process will come out.

25 MS. JONES: So, how long of an outage could

1 generators live with, or would they like? Is it more  
2 than a year out, or six months out?

3 MR. THEAKER: I don't know the precise answer.  
4 I think it may be putting in some kind of condition,  
5 until -- you know, at a minimal cost until the market  
6 turns, if it does turn? There isn't any way -- I can't  
7 give you a precise answer to that question, Melissa.

8 MS. JONES: Go ahead, did you want to say  
9 something?

10 Let's see, we've talked some about mechanisms  
11 already. So, do we think that the full diversity of  
12 performance is being provided for in the suite of  
13 generators we have, overall? Or, are there some  
14 attributes that just don't get counted for anything that  
15 should count?

16 MR. THEAKER: So, this is Brian Theaker with  
17 NRG, who can't stand awkward silence, again. I think  
18 the issue is how are the attributes valued. And,  
19 clearly, we've heard that because of over-supply there  
20 is no intrinsic value to flex. That situation will,  
21 hopefully, change.

22 Because flex, I think, the ISO has  
23 appropriately, you know, noted the need to transition  
24 from capacity to capability. And I think we're on that  
25 road, but there's a lot of road that we've got to get to

1 before we hit pavement, and that's just because we're so  
2 long at this point.

3           Again, I think there's some attributes that  
4 maybe are not extrinsically or intrinsically valued,  
5 like duration, that we can't leave out of this  
6 conversation.

7           I think, you know, availability,  
8 dispatchability, duration, you know, are key reliability  
9 attributes that have to be factored into this  
10 conversation. And if we can find ways to value them,  
11 great. If we can't find ways to value them, we can't  
12 forget about them.

13           MS. JONES: So, sort of a different kind of a  
14 question. Oh, go ahead.

15           MR. THEAKER: I hoped that I answered the right  
16 question.

17           MS. JONES: Yeah, that was good.

18           In terms of reliability, with the system  
19 changing as much as it has changed, and will change, is  
20 the sort of reliability metric that we're currently  
21 using, the 1-in-10 years, is that still a valid concept  
22 or do we need to change the way we think about  
23 reliability?

24           MR. SMITH: It's Mark Smith, with Calpine. The  
25 1-in-10 years is applied to determine local reliability

1 area requirements. It's a stressed system condition  
2 that seems to match very well to the other stresses that  
3 are being applied to the system in order to determine  
4 the minimum amount of generation that's needed.

5 So, in other words, you can have a load pocket.  
6 That load pocket can only import so much energy across  
7 the transmission system, as it's designed today, or will  
8 be designed during the study period.

9 Anything, any load above that transmission  
10 import level essentially needs to be local generation.  
11 So, I think it's absolutely appropriate that you want to  
12 look at highly stressed conditions for that  
13 circumstances. Otherwise, you suffer load of loss -- or  
14 loss of load, which I don't think often we want to have  
15 happen. Thank you.

16 MR. THEAKER: Melissa, Brian Theaker. I think  
17 the 1-in-10 LOLE is still a very important metric.

18 You know, we've taken steps this past year to  
19 make that metric more meaningful. The PUC has taken a  
20 look and Calpine has done some really good work in terms  
21 of the RA capability of variable resources to try to  
22 make that 1-in-10 year loss of load expectation make  
23 sense.

24 So, I think it's still an effective standard we  
25 ought to retain. But I think there are other aspects of

1 the changing nature of the system ramp duration that are  
2 metrics that have to be brought into the conversation.  
3 The 1-in-10 is important, but it's not the be all, end  
4 all statistic for reliability.

5 VICE PRESIDENT DOUGHTY: And, Melissa, just to  
6 add, those a NERC and WECC requirements. Those aren't  
7 things that we could modify unilaterally, so there's an  
8 acknowledgement there.

9 MS. JONES: San Diego?

10 MR. KRUGER: Vic Kruger, San Diego Gas &  
11 Electric. I think you have to couple that with some of  
12 the other reliability criteria, not just the 1-in-10.  
13 I've worked at other ISOs around the country, in my  
14 career, and loss of load probability or loss of load  
15 expectation, and things like that.

16 When you get to some of the Cal ISO standards  
17 that are above and beyond what NERC and WECC have with  
18 the G1N1, or the N1N1, you have to balance those against  
19 other, you know, state goals as well. Whether it's  
20 once-through cooling or other criteria. So, you have to  
21 have a stress system and I agree, you want that for  
22 reliability. But I think the CPUC has to decide what  
23 they're willing to pay for. You know, how stressed of a  
24 system and at what cost.

25 Michele had on hers, you know, she has to

1 balance the cost against the reliability. And it may  
2 need to be looked again, just to see if we're consistent  
3 with the serving loads, and things like that, that we're  
4 using the appropriate reliability criteria in all cases  
5 here.

6 MR. THEAKER: And, Vic, Brian Theaker, I agree.  
7 And I think that, you know, the acknowledged part of  
8 where we still need to do a lot of homework in IRP is we  
9 started the conversation around the meaning and  
10 validating those metrics, but we haven't finished.

11 MS. JONES: So, I had a question about the role  
12 of the gas plants in the long run. So, we have a  
13 tradeoff between keeping reliability. We have some  
14 additional resources we'd like to develop. How long are  
15 we going to need to rely on these gas plants?

16 Go ahead.

17 MR. KRUGER: This is Vic Kruger from San Diego  
18 Gas & Electric. I think gas is an important part of the  
19 portfolio. Some people think you can just put enough  
20 batteries out there, and enough renewables and you have  
21 a perfectly good system. And I think we've already seen  
22 some diminishing returns on certain gas plants.

23 But it makes sense because batteries have a  
24 duration aspect. And, certainly, the contingencies,  
25 especially in small areas like San Diego, and Brian

1 brought this up, sometimes the contingencies can't be  
2 readjusted for within the four hours of the batteries,  
3 or even six hours, or two hours, or whatever your  
4 standard is.

5           So, I think you have to have that as a backstop,  
6 where you can bring on this longer-term unit. And  
7 someone brought up that, you know, gas is a wonderful  
8 storage medium because you have it there and you could  
9 run this gas plant as long as you needed to maintain the  
10 reliability.

11           Whereas some of these demand response, and  
12 batteries and stuff, you have to design for something  
13 and you can't design for it at all times.

14           MS. JONES: So, how do we weigh tradeoffs like  
15 running the -- needing the gas plants for reliability  
16 and GHG reduction?

17           MR. THEAKER: Melissa, Brian Theaker. I think  
18 that's part of the, you know, the LCBF kind of set of  
19 glasses that we need to look this through. I think  
20 there are absolutely tradeoffs, and it's important that  
21 we squeeze all of the carbon out of the electric supply.  
22 But we're going to have to squeeze all the carbon out of  
23 every sector.

24           And I think, again, transportation  
25 electrification is -- we're putting a lot of eggs in

1 that basket. But that basket doesn't -- you know, if  
2 there's holes in that basket, if we don't have reliable  
3 electric supply, then we've probably taken on a fool's  
4 errand.

5 So, I think it's just a set of tradeoffs that  
6 you're going to have to bear in mind. I think ROP will,  
7 you know, constantly be revisiting that question of, as  
8 we adjust the GHG targets down.

9 But, you know, when you're having conversations  
10 about reliability metrics is when those two things, in  
11 an LCBF kind of framework, and trying to come up with  
12 the right decision.

13 MS. JONES: Yes, Ross.

14 MR. GOULD: Yeah, so we're right in the middle  
15 of our IRP, and we're going out to 2030, 2035, and we  
16 don't see any decrease in the need for our thermal  
17 fleet. We're viable all the way through the end of the  
18 planning period and on.

19 It's definitely a balancing act with the  
20 greenhouse gas requirements and trying to figure out --  
21 and the value of the thermal plants is just what we've  
22 been hearing here. You turn them on and you can leave  
23 them on for as long as you need them. So, when that  
24 need arises, you know, it's almost like the EV cars, you  
25 know, there's distance anxiety. You don't have that

1 with a thermal plant. You can just turn it on and run  
2 it.

3 So, were able to maintain that because they're  
4 ours, and we own them, so the sunk cost is sunk. And  
5 I've become very innovative in trying to figure out ways  
6 to reduce the ongoing variable costs involved with them.

7 But if I was on the other side of the table, it  
8 would be very difficult for me to hold open a power  
9 plant that we built in 1987, that runs maybe 50 hours a  
10 year. I can only do it because I've already paid it off  
11 and I don't have to pay anybody else for it. And I've  
12 got an operating contractor that can do it remotely.

13 So, you know, I'm able to maintain the costs in  
14 that way. But I wouldn't be able to do that if I wasn't  
15 vertically integrated.

16 MR. BLUE: This is Greg Blue, with Cogentrix.  
17 You know, I think the GHG from power generation is going  
18 to go down with the amount of generation that's leaving  
19 the system. The OTCs, we heard some of the others. So,  
20 that's going to happen, anyway. And I guess it gets to  
21 a point where it's what type of gas unit are you going  
22 to have.

23 And if you have a peaker plant, for example, the  
24 majority of the time it's only going to run a very short  
25 amount of time. And because of that short amount of

1 time, especially the short start-up time, the short  
2 stopping time, the short run time, minimum run times,  
3 that alone is -- per megawatt, the GHG footprint is much  
4 lower than some of these other plants that are out  
5 there, now.

6 So, I think some of that's going to take care of  
7 itself, I guess, in one way.

8 MR. SMITH: It's Mark Smith, with Calpine. Let  
9 me just add that I think there are plenty of  
10 opportunities to reduce GHG emissions from the existing  
11 fleet. Those may be missed opportunities, unless we  
12 change compensation levels.

13 I'll just give you two very, very simple  
14 examples. One that we think might be successful and  
15 another that's highly unlikely to be successful under  
16 today's market.

17 The one investment that we're aggressively  
18 pursuing is associated with one of the RMR contracts  
19 that was just granted or issued by the Board of the ISO.  
20 It's a peaking plant that runs fairly consistently, not  
21 for its peaking capacity, but for its voltage support in  
22 the limited area.

23 We would be happy to consider an incremental  
24 capital investment to put a device in between the gas  
25 turbine and the generator, a clutch, if you will, that

1 allows us to disconnect the gas turbine once the machine  
2 is started, and run the motor, essentially the  
3 generator, as a synchronous condenser. Dramatic  
4 reductions in GHG emissions for the need that would be  
5 required in that area.

6           The only way we'll consider doing that is if we  
7 have an opportunity, through an RMR contract, to obtain  
8 not only cost recover our investment, but return on that  
9 investment.

10           So, that has a potential of being, you know, a  
11 true and real opportunity to reduce GHG.

12           Another that's less likely to occur, is routine  
13 and simple upgrades to combined cycle facilities that  
14 reduce the heat rate of those facilities and, therefore,  
15 reduce the GHG emissions.

16           There's no compensation in this market for  
17 reduced heat rates, right. Even, for instance, and I'm  
18 -- you know, with the energy margins as thin as they  
19 are, that's where the heat rate value would become in.  
20 You would become inframarginal and you would collect  
21 some incremental marginal energy. There's no  
22 compensation for that. So, it would not make sense.  
23 Unfortunately, it's a missed opportunity for investment  
24 in things that could reduce GHGs.

25           So, just as an example of one that does work and

1 one that's unlikely to work at least under the current  
2 structure.

3 MS. JONES: And do you think that RMR is the  
4 appropriate way to do that? Is there some other  
5 mechanism?

6 MR. SMITH: I would be happy to do that under a  
7 long-term contract.

8 (Laughter.)

9 MR. SMITH: Or, any other mechanism that makes -  
10 - puts me in a position of making a rational, economic  
11 decision. Taking my scarce capital and investing it in  
12 something that I expect to get a return on, and be  
13 compensated reasonably over the term.

14 MR. CUMMINS: Paul Cummins, Wellhead. I think  
15 the combined-cycle plants, especially if they're slow,  
16 they're going to have to get out of the way. That's the  
17 only choice for reducing the GHG from thermal  
18 generation.

19 Peakers, on the other hand, I've said it before,  
20 I'll say it again, they get out of the way. They're  
21 there when you need them. How long are we going to need  
22 them? I think forever.

23 I happened to be in San Diego, the last time San  
24 Diego went black. We have three facilities there. Two  
25 of the three were instrumental in restoring the

1 electricity to the San Diego Region. And the San Diego  
2 Region was black long enough that if those plants  
3 weren't there, but storage had been there, I don't think  
4 they would have gotten it restored. Because duration is  
5 important.

6 So, how long are we going to need peakers? I  
7 think forever. The question is optimizing and making  
8 efficient use of them, okay.

9 And I like the technology upgrade that Edison  
10 just did with their two peakers. And you know what they  
11 can do with a peaker that's got that technology upgrade?  
12 They can do exactly what Calpine was just talking about  
13 for the voltage services.

14 But it also gives so much more functionality to  
15 peakers. So, it becomes something more than a peaker,  
16 it becomes a new asset class. And I think that's the  
17 way to reduce GHG.

18 MS. JONES: Just to talk about something that's  
19 a little bit longer term, somebody mentioned  
20 transportation electrification. And that is going to be  
21 a major strategy. How do you -- how do you utilities  
22 see that changing your load curve? What do you see is  
23 the need for generation to meet that kind of a demand?

24 MR. LAWLOR: I'm going to have to answer that  
25 one in the written comments. I don't have any

1 information on it.

2 MS. JONES: Go ahead.

3 MR. KRUGER: Vic Kruger, with San Diego Gas &  
4 Electric. We see the electrification of the  
5 transportation industry as a major change in our area.  
6 It sort of goes hand in hand with the last comments.  
7 You know, some gas-fired generation can act as an  
8 insurance policy or an enabling technology. Because if  
9 you do have a three-day, cloudy period, which is very  
10 seldom in San Diego, you still want to be able to charge  
11 up the cars, you know, if they're used in the  
12 transportation industry. And it may even reduce, you  
13 know, greenhouse gas emissions because if people can't  
14 rely on charging up a battery-only car, they're going to  
15 get a plug-in hybrid, or something that can also, you  
16 know, run with gasoline and stuff. So, overall, you  
17 have to balance all these factors together.

18 Vehicle to grid is just in its infancy, as well.  
19 That can help change the shape of the duck over time.  
20 And penetration of, you know, electric cars we think is  
21 going to be quite high in our service territory.

22 MS. JONES: Go ahead.

23 MR. LITTLE: Greg Little for -- oh, I'm sorry.

24 MS. JONES: Ross?

25 MR. GOULD: From our experience, right now we're

1 looking at early adopters from the EV side. And they're  
2 easy to talk to. You can get them to shape load curve  
3 easier. But as we see the adoption try to, I guess,  
4 grow, and grow, and grow, and the more normal masses  
5 start using them, they're going to want them to perform  
6 like regular car, and they're going to want to plug them  
7 in when they go to the grocery store, in the middle of  
8 the afternoon, or right after work, or whenever, and  
9 they're not really going to care.

10 So, the big challenge that we see is how do we  
11 continue to shape the usage of those facilities, and  
12 that will be a big driver for us.

13 MS. JONES: And what are you looking at as the  
14 tools to help shape that?

15 MR. GOULD: Well, right now, it's real time of  
16 use and education.

17 MR. KRUGER: Also, you know, smart charging and  
18 the time-of-use rates are going to play a major role, I  
19 think, in San Diego. Where if you tell people it's  
20 going to cost you four or five times as much to charge  
21 your car now, as later, the cars already have enough  
22 intelligence to pick the time they're going to charge.

23 And as we get into these cars with bigger, and  
24 bigger batteries, where they're not forced to charge  
25 every day, otherwise they can't get to work the next

1 day. Some friends have the new Volt and they charge,  
2 you know, once a week. Because when you're over 200  
3 miles of range, it's not as critical. And I think that  
4 works in well with the new rate designs, and things like  
5 that.

6 MS. JONES: Go ahead, Eric.

7 MR. LITTLE: Yeah, so in addition to those types  
8 of programs, of the pricing mechanisms and so forth,  
9 there's also the look at demand response in these types  
10 of areas. And battery storage in electric vehicles  
11 could very well be one of them.

12 Demand response has traditionally been thought  
13 of as reductions of load, when system conditions are  
14 such that resources are scarce. But if we've got over-  
15 generation conditions, the belly of the duck issue  
16 that's been discussed a lot here today, there could very  
17 well be incentives to consume at certain hours. And if  
18 those incentives are there, and you've got an  
19 electrified vehicle fleet, perhaps you very much have an  
20 incentive to have charging facilities at work locations,  
21 such that during the middle of the day, when the over-  
22 gen is going the greatest, your car is being charged at  
23 very, very low costs, for you then to go home.

24 So, I think it's a combination of the pricing  
25 elements and the demand response types of activities

1 that we need to look for, first, and see what that does  
2 with the grid, and if that's able to take care of  
3 situations before we say, well, we're now going to need  
4 to build another 10,000 megawatts of gas resources. I  
5 don't think that we're there.

6 MS. JONES: So, in terms of the generators,  
7 what's your thinking about your role in terms of  
8 transportation electrification?

9 MR. THEAKER: Brian Theaker, with NRG. So,  
10 again, the fundamental is if we're going to get to the  
11 State's GRG targets, we're going to have to de-carbonize  
12 everything. And transportation, you know, is 40  
13 percent. That we've got to, you know, squeeze that  
14 turnip as hard as we can squeeze it.

15 We think the transportation electrification is  
16 an essential component of that.

17 But as I noted in my comments, transportation  
18 electrification works as reliable as your electric  
19 system is. And, so, we think that there's still a role  
20 for gas in maintaining that reliability, to ensure that  
21 we have the kind of -- you know, the electric system we  
22 have now, where you don't think about whether the  
23 power's going to be there when you turn it on. It is,  
24 because it's been there for the last 50 years.

25 We think that gas is a component of maintaining

1 that reliability. We also think that storage is a big  
2 piece of that. Because I totally agree with Eric, if we  
3 can get rate design and some of those things figure out,  
4 you know, we have a tremendous advantage, we can think  
5 about all of this solar in the middle of the day as a  
6 downside, or we can think about it as an opportunity to  
7 really take advantage of it, you know, in ways that will  
8 help the State achieve its policy goals.

9 MS. JONES: Shift it back to you for questions,  
10 comments?

11 CHAIR WEISENMILLER: Actually, let's -- let's go  
12 to public comment, and then we may have some wrap-up  
13 comments. At this point we have one blue card in the  
14 room. So, starting for public comments for those in the  
15 room, and then we'll go to those on the line.

16 Steven Kelly, come on up.

17 MR. KELLY: Steven Kelly, for Independent Energy  
18 Producers Association. And I really appreciate you  
19 putting on this joint energy workshop on this issue,  
20 because I think it's very critical.

21 This has been a fascinating discussion, and  
22 listening, sitting in the audience and being able to  
23 listen to the give and take, it strikes me that there's  
24 two colliding forces that are kind of moving to what I  
25 call unhelpful uncertainty.

1           One is this capacity gap, the capacity issue.  
2   And the other, that we haven't talked about too much, is  
3   untimely decision making. And I want to deal with both  
4   those.

5           I very much support what Tom Doughty was talking  
6   about, was that we need a durable process. I do have  
7   concerns that it would not be quicksand, that that  
8   process would be able to move forward in a timely manner  
9   to make decisions, to send signals to the marketplace  
10   about what to do next.

11           Let me briefly address the capacity gap, which  
12   has been talked about quite a bunch this morning. When  
13   I do back-of-the-envelope calculations, we've got the  
14   OTC units, that's about 9,000 megawatts. Diablo -- and  
15   that's, those are going to be done, in one form or the  
16   other, by 2020.

17           Diablo Canyon is 2,000 megawatts, shutting down  
18   by 2024, the beginning of that process.

19           And there's also something that was not  
20   mentioned, as I recall today, was the new ELCC  
21   calculation that is being -- is progressing at the PUC.  
22   Which the estimates that I've see might have the impact  
23   of reducing capacity counting for the utilities, from  
24   2,500 megawatts or more. And that's likely to take  
25   place by 2019.

1           You add that up and you've got 13,000 megawatts  
2 of capacity that is uncertain going forward, beginning  
3 as early as 2019.

4           Neil Millar had mentioned that once you get  
5 beyond the OTC, you get into 4,000 to 6,000 megawatts of  
6 lost capacity, then you start to have some issues that  
7 arise. He indicated that he thought that might occur in  
8 2021, 2022. I think it might occur quicker. And I'm  
9 looking at 2019, 2020 as the time frame that we might  
10 have issues emerging that are problematic.

11           And, then, you couple that with the CCA issue,  
12 where the utilities are presenting that roughly 40  
13 percent or more of their existing load is likely to  
14 depart, and there's some uncertainty that we have about  
15 who's going to be buying the capacity. Not only on a  
16 long-term basis, but in the immediate term. We call  
17 this a capacity procurement gap. It creates another  
18 level of uncertainty that we have some concerns about.

19           Regarding timely decision making, the IRP is not  
20 supposed to be finished until 2021, or 2020, you know,  
21 the '18, '19 time frame.

22           The RA proceeding that is ongoing, I heard the  
23 ISO mention that they were going to take on a process  
24 that's 12 months. If that kicks over to the PUC, you've  
25 got to add 18 months for them to get a decision out.

1 That's 30 months. In both cases, we're looking at a  
2 2020 time frame for decision making, at best, that would  
3 authorize the utilities to go forward and do something.

4 So, I view this as a colliding problem that we  
5 need to deal with sooner, rather than later.

6 Some potential solutions. If new infrastructure  
7 is needed, then certainly don't wait until 2020 to make  
8 those decisions. I think that is going to turn out to  
9 be too late, or you'll have to default to more higher  
10 cost resources, than you would otherwise want to have.

11 CHAIR WEISENMILLER: Steven, wrap it up. You  
12 can do it in comments.

13 MR. KELLY: Thank you. If I --

14 CHAIR WEISENMILLER: One more, yeah.

15 MR. KELLY: One last second. And I wanted to  
16 deal with the -- we've proposed a multi-year RA program  
17 at the PUC, in that process, and it's come up today in  
18 the conversations. There are two aspects of that, a  
19 procurement aspect and then a just, simply, a reporting  
20 aspect, which we have advocated for as a minimum start  
21 point to move forward.

22 That doesn't -- that will give the signals to  
23 the decision makers about where we stand, we think, as  
24 we move forward and look out three to five years in  
25 advance. And we think that would be a helpful solution

1 as well. Thank you.

2 CHAIR WEISENMILLER: Thank you.

3 Anyone else in the room?

4 Anyone on the line?

5 MS. RAITT: Nobody on WebEx.

6 CHAIR WEISENMILLER: Okay. So, wrap it up.

7 I'll make a few comments. First, I wanted to thank  
8 everyone for being here today, for the conversation  
9 we've had.

10 I think, again, conceptually when you look at  
11 it, the issue going forward is going to be going forward  
12 cost, volume of going forward, and price curves. And,  
13 you know, certainly having implications on our power  
14 market. We've talked about -- I want to discourage  
15 people from thinking it's only a gas issue. It's  
16 certainly one of the reasons why we're losing a nuclear  
17 plant, certainly one of the reasons why we're starting  
18 to lose some hydro plants.

19 So, again, as you go forward, as the forward  
20 curves go down, you know, you're going to see more  
21 resources that have issues. You know, certainly  
22 encourage people to look at the economics on it,  
23 basically on renewables, again.

24 It's just the characteristic, as you add more  
25 zero cost resources to the mix, you're going to bring

1 down wholesale prices. That is both a cost and  
2 opportunity.

3 I think in terms of trying to figure out what to  
4 do next, you know, part of it, again, is the focus on  
5 what's the solutions. As long as we have excess  
6 capacity, the value of additional, you know, generation  
7 is pretty close to zero. So, you know, part of the  
8 question is how do we have an orderly process for  
9 tidying things up some?

10 You know, and basically, trying to make sure  
11 that we've identified, quote/unquote, the right plants,  
12 right location, right characteristics. And, you know,  
13 frankly, some of the rest of you should go away, be it  
14 packing them up and moving them, or whatever. But we'll  
15 have to go in that direction.

16 Long-term trends, I was going to point to a  
17 recent study that was done by IEA, in Irena, looking at  
18 basically how to get the world to the under 2 level,  
19 2060. And, certainly, the IEA looked at it with nukes.  
20 Irena, the German's contributed money, so it's without  
21 any additional nuclear plants, it's pretty much  
22 renewables and energy efficiency. But there is some  
23 role for case even in that Irena case. But again, more  
24 on the operational side.

25 So, again, the issue we need to come up with is

1 how to get to the right mix question and move forward  
2 from there.

3 COMMISSIONER RANDOLPH: Yeah, I'll just say I  
4 think you hit the nail on the head. We need an orderly  
5 process to kind of, you know, analyze these issues and  
6 come up with the right solutions, in a manner that's  
7 timely enough to be effective.

8 And, so, this discussion has been useful I kind  
9 of posing some of these thoughts and possible solutions.  
10 So, I really appreciate everyone's participation in  
11 this.

12 VICE PRESIDENT DOUGHTY: Well, Chair and  
13 Commissioner, thank you for allowing ISO to participate,  
14 both as presenters and here, on the dais. I took away a  
15 lot of notes today and I learned a lot.

16 I will tell you that we've been looking forward  
17 to this discussion for a long time. We've had written  
18 communications with many people in this room, meetings  
19 with many others, hearing about these. But to bring  
20 them all to the table, in one session, I think was  
21 invaluable.

22 Some of the headlines that I captured today. We  
23 are acknowledging together that we are long in capacity.  
24 Neil Millar showed a graphic, showing that we are 57  
25 percent, still, gas capacity. With renewables growing

1 quickly, that pie is shrinking. It's just natural.

2           Solar peak has doubled in the last two years and  
3 we'll only continue to see that.

4           So, as that is played out, we've heard words  
5 that the existing growth in renewables are squeezing  
6 margins down to where fossil units are just not able to  
7 participate.

8           So, we know that some plants need to go. We  
9 want to retain the most valuable units. And as we see  
10 this precipitous decline in capacity, we've got to be  
11 very careful. And there's a certain level of urgency,  
12 now, to make sure we put in place programs to retain  
13 those units we really want.

14           We heard that we're missing longer-term  
15 procurement signals that can exist between the one-year  
16 RA and the ten-year LTPP or IRP processes.

17           We heard terms today around highly-valued asset  
18 classes that may make good use of a living wage in the  
19 AS space. Thank you for that.

20           And then timing, we heard about the need to  
21 fortify the timing so that we have an earlier assessment  
22 of RA showings, to give more notice to plans for what  
23 they've got to look ahead to in the coming year.

24           We also heard about the possible need for a more  
25 significant RA redesign, perhaps with some level of

1 central procurement. And, then, certainly the need to  
2 better integrate ISO backstop and the RA procurement  
3 program.

4 So, those are just a handful of the things that  
5 I took away today. There are certainly many more  
6 insights that will come out through the record.

7 For us, we think this is a moment of significant  
8 urgency to do this right, and to get it taken care of,  
9 now, before we move into a place where plants that we  
10 seek to retain are beginning to depart the system.

11 So, with that, I'll prepare to depart this room.  
12 Chair, thank you, again, for welcoming us.

13 CHAIR WEISENMILLER: Actually, I was going to  
14 ask Heather to remind people when written comments are  
15 due.

16 MS. RAITT: Yes, just a reminder, the written  
17 comments are due May 8th. And that's it.

18 CHAIR WEISENMILLER: So, the meeting's  
19 adjourned.

20 (Thereupon, the Workshop was adjourned at  
21 2:34 p.m.)

22 --oOo--

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 16th day of May, 2017.



---

Kent Odell  
CER\*\*00548

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 16th day of May, 2017.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520