

DOCKETED

Docket Number:	17-IEPR-07
Project Title:	Integrated Resource Planning
TN #:	218252
Document Title:	Transcript of the 05252017 IEPR Commissioner Workshop on Draft Guidelines for Publicly Owned Utility Integrated Resource Plans
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/13/2017 1:50:44 PM
Docketed Date:	6/13/2017

CALIFORNIA ENERGY COMMISSION

In the Matter of:)
) Docket No. 17-IEPR-07
IEPR Commissioner Workshop on)
Draft Guidelines for Publicly)
Owned Utility Integrated Resource)
Plans)
_____)

CALIFORNIA ENERGY COMMISSION
ROSENFELD HEARING ROOM - FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, MAY 25, 2017

10:00 A.M.

Reported by:
Gigi Lastra

APPEARANCES

COMMISSIONERS

Robert Weisenmiller, Chair

Janea Scott, Commissioner

Andrew McAllister, Commissioner

Karen Douglas, Commissioner

ENERGY COMMISSION STAFF

Heather Raitt, Assistant Executive Director for
Policy Development

Kevin Barker, Chief of Staff for Chair Weisenmiller

Galen Lemei, Staff Counsel

Jana Romero, Staff Counsel

PRESENTERS

Garry O'Neill-Mariscal, Supply Analysis Office

Monica Padilla (via WebEx), City of Palo Alto

James Barner (via WebEx), Los Angeles Department of Water
and Power

Tanya DeRivi, Southern California Public Power Authority

Scott Tomashefsky, Northern California Power Agency

Tim Tutt, Sacramento Municipal Utility District

Justin Wynne, California Municipal Utilities Association

Dan Severson, Turlock Irrigation District

PUBLIC COMMENT

Sean Neal, Duncan, Weinberg, Genzer and Pembroken on
behalf of Imperial Irrigation District

AGENDA

	<u>Page</u>
Introduction Heather Raitt, California Energy Commission	1
Opening Comments Chair Weisenmiller Commissioner Scott Commissioner McAllister	1
Overview of Proposed IRP Guidelines for POUs Garry O'Neill-Mariscal, California Energy Commission	2
Publicly Owned Utility Case Studies on Integrated Resource Planning James Barner, Los Angeles Department of Water and Power Monica Padilla, City of Palo Alto	
Public Owned Utility Thoughts on Draft Guidelines For Integrated Resource Plans Kevin Barker, California Energy Commission, Moderator Tanya DeRivi, Southern California Public Power Authority Scott Tomashefsky, Northern California Power Agency Tim Tutt, Sacramento Municipal Utility District Justin Wynne, California Municipal Utilities Association Dan Severson, Turlock Irrigation District	32
Public comment	83
Adjourned	90

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

10:03 A.M.

SACRAMENTO, CALIFORNIA, THURSDAY, MAY 25, 2017

MS. RAITT: -- Staff to Roosevelt Park which is across the street. Please be aware that the meeting today is being broadcast over the WebEx conferencing system, and so parties are being recorded. There will be a posting in about a week of the audio recording, and the transcript will be posted in about a month.

At the end of the day we will have an opportunity for public comments, and we'll limit comments to three minutes per person. If you're on WebEx and you'd like to make a comment, please use the chat function to let our coordinator know you'd like to.

Written comments are due on June 15th. And the instructions for doing so are provided in the notice.

And with that, I'll turn it over to Chair Weisenmiller for opening remarks.

CHAIR WEISENMILLER: Thank you. Obviously, one of the center points of SB 350 is the IRP process. This is our next step in that, is proposing guidelines. We've had a couple good meetings and conversations. I believe we're making progress. But again, this is certainly one of the key decision points of this IEPR will be these guidelines.

1 So again, looking forward to hearing people's
2 comments on this proposal.

3 COMMISSIONER SCOTT: So I share those thoughts and
4 echo them. I am also very much looking forward to hearing
5 your comments on the draft guidelines. And would underscore
6 what the Chair said about this being one of the central
7 components to SB 350 and making sure we hit our climate
8 change goals for the state. So I am, again, looking very
9 much forward to the comments.

10 And I also want to just say thank you so much to
11 the POU's for working so closely with us as we developed
12 these, to my Advisor, Matt Coldwell, and to Jana Romero for
13 working, especially on the transportation electrification
14 component, so closely with our Transportation Team and our
15 Assessments Division to put together what I think is a
16 pretty solid draft. So I'm looking forward to your comments
17 on that.

18 Thank you.

19 MS. RAITT: Thanks. So Garry O'Neill-Mariscal is
20 going to give the presentation. Thank you.

21 MR. O'NEILL-MARISCAL: Good morning. I'm Garry
22 O'Neill-Mariscal. I work for the California Energy
23 Commission's Supply Analysis Office. I'll be presenting on
24 the draft guidelines today.

25 The overview, we just wanted to get public input

1 on the staff draft, POU input on the staff draft, find out
2 if there's any remaining issues that we need to address
3 going forward. The outline for today, we'll be going over
4 the background of SB 350 and how it relates to IRPs, kind of
5 a brief overview of the high-level public comments we have
6 received so far that relate to major changes in the
7 guidelines, and then an overview of the staff draft.

8 So Energy Commission has new responsibilities that
9 were created by SB 350 under 9621 and 9622 of the Public
10 Utilities Code. Energy Commission is required to review POU
11 IRPs for consistency with Public Utilities Code section
12 9621. Energy Commission is also required to provide
13 recommendations for any deficiencies that we find if the POU
14 IRPs are not consistent with Public Utility Code 9621.

15 Energy Commission also was given the authority to
16 adopt guidelines to govern the submission of data needed for
17 our analysis and review of POU IRP
18 guideline -- IRPs.

19 There are 16 POU's that Energy Commission has
20 identified that fall within the POU IRP guideline -- I'm
21 sorry, the POU IRP requirements. This is a list of those.
22 POU IRP requirements require that the POU's plan to achieve
23 an emissions reduction target for 2030 established by ARB,
24 consistent with the 40 percent reduction compared to 1990
25 levels, or at least the electricity sectors portion of that,

1 procurement of at least 50 percent renewables by 2030,
2 consistent with 399.11 of the Public Utilities Code, and
3 then meet the goals outlaid within sections 454.52(c)(2)(H).

4 There is a caveat to subsection (c), I won't go over that
5 right now, as it relates to POUS. Also, the POUs are
6 required to adopt a process for updating IRPs at least once
7 every five years.

8 There are requirements for -- soft requirements, I
9 would call them, for POUS, they need to address. These are
10 energy efficiency and demand response resources, energy
11 storage, transportation electrification, resource adequacy
12 requirements, and procurement of diversified resources. And
13 we'll go over what the address means later on the overview.

14 We've held several workshops related to the POU
15 IRPs and some subtopics, specifically renewables and
16 transportation electrification. The latest workshop was
17 April 20th on a webinar on inputs and assumptions, and then
18 April 27th on medium-duty and heavy-duty electric vehicle
19 sector.

20 Some of the key takeaways from the POUs have
21 informed us that, you know, some of our earlier drafts, we
22 may have overstepped our authority. So we have limited our
23 role or our scope of the guidelines to fit better within our
24 authority within 9622. Energy Commission, one of the things
25 that we're guilty of is not relaying the message of what an

1 IRP actually is to policymakers, but we are trying to
2 correct that and fix our messaging. And one of the things
3 that we do have to mention is that SB 350 did add new
4 requirements to IRPs for the POU's for minimum planning
5 requirements.

6 So the scope of the guidelines is to govern the
7 submission of information, data and reports that the Energy
8 Commission needs to review the integrated resource plans.
9 This includes any data that we need for our analysis. Some
10 of the things are not directly required, but we felt that we
11 needed the information. Those are spelled out within the
12 guidelines.

13 The guidelines also provide recommendations for
14 additional analysis that is not necessarily required by SB
15 350 but we feel would be beneficial to the POU's and to the
16 POU boards. We also provide -- or, I'm sorry -- provide an
17 outlay of the administrative procedures, the schedule for
18 submitting IRPs to the Energy Commission, and then describe
19 the Energy Commission's review process.

20 So the filing procedures outlaid within the
21 guidelines, the schedule is that the guidelines would be
22 due, this is the proposed schedule, IRPs would be due to the
23 Energy Commission on April 30th, 2019, and then at least
24 once every five years after that.

25 IRPs update -- so the IRP updates would be based

1 on -- a due date would be based on when the Board adopts it.
2 We've outlaid a schedule which we think is reasonable. The
3 goal is to get IRP submissions into the Energy Commission as
4 close to April 30th as possible, with the exception of any
5 IRPs that are adopted within May, April or May -- I'm sorry,
6 March, April, May, due 90 days after Board adoption. There
7 is a process built into the guidelines for the POU's to
8 request a time extension, if necessary.

9 The IRP filing, we define what an IRP filing is.
10 This is the IRP that is adopted by the POU governing board.

11 And this includes additional information, supporting
12 information that the Energy Commission feels is necessary
13 for our review. The updates must be submitted at least once
14 every five years following that initial IRP filing. We have
15 an electronic filing process.

16 Confidentiality designation; POU's may request
17 confidentiality for sensitive information within their IRP
18 filing, if necessary. And then we also provide for
19 representative entities may file on behalf of the POU's.

20 AS I mentioned in the last slide, the IRPs must
21 include the IRP supporting information, and then four
22 standardized tables. The standardized tables are provided
23 to give a simple, straightforward way to provide all the
24 information in one location that is easy for the Energy
25 Commission staff to review and for the -- and easy for the

1 POU to provide that information.

2 Supporting information includes any studies, data
3 or other materials in which the POU uses to develop their
4 assumptions or conclusions within their IRP. These can be
5 included directly or as a reference to a source document,
6 whether it be with -- the source document be with the Energy
7 Commission or some other government agency. And supporting
8 information is used to supplement any data that you submit
9 to the Energy Commission.

10 The standardized tables are four tables. They're
11 very similar to the supply resource forms that are filed
12 with the Energy Commission every other year as part of the
13 IEPR.

14 The first table is a capacity resource table.
15 This just goes over the annual peak in -- the annual peak
16 capacity demand each year, and the contribution from all the
17 various energy resources and other components within that.

18 The energy balance table goes over the energy
19 procured to meet total energy demand.

20 We have an RPS procurement table. This provides a
21 flexible means for the utilities to plan to meet their or
22 achieve their RPS targets. We try to include flexible
23 compliance mechanisms to the best of our ability,
24 recognizing that this is a planning document, so some of
25 those flexible compliance mechanisms may not be relevant.

1 And then a GHG emissions accounting table. And
2 this is for the POUs to demonstrate that they are achieving
3 their GHG emissions target for 2030.

4 Energy Commission staff are required to review IRP
5 filing requirements. We will be using step-two process.
6 We'll be first checking to see if the IRP is complete. If
7 we find that the IRP is missing a component that is needed
8 for our review, we will request more information from the
9 POUs. We will also be allowing or accepting public comment
10 for the first month after the IRP is posted to the website.

11 Related to completeness or consistency with
12 section 9621, public comments related to whether or not the
13 IRP achieves the goals and the targets set by 9621, will be
14 considered in the Energy Commission's second step of our
15 review. The second step of the review will identify
16 potential deficiencies and develop recommendations to
17 correct them within the IRP. And we will use our -- that
18 review to create a preliminary determination, a staff-level
19 determination. The POUs will be given an opportunity to
20 respond to that preliminary determination, if they so
21 choose. There's no requirement that they do so.

22 After the preliminary determination, a final
23 determination will be proposed for adoption by the
24 California Energy Commission at a regularly scheduled
25 business meeting.

1 As I mentioned in the previous slide, additional
2 information may be requested. We reserve the right to do
3 that at any time during the review process. We ask that the
4 POU's reply to that request for information within 30 days.
5 Additional time may be needed, which the POU's can use the
6 time extension provisions within the guidelines to ask for
7 more time to submit the information.

8 Deficient IRPs; the Energy Commission will be,
9 during our review process, finding whether or not an IRP is
10 consistent or deficient within the section 9621 of the
11 Public Utilities Code. There is a provision within our
12 guidelines where we provide that noncompliance with PUC
13 section 9621, that would be, basically, if a POU fails to
14 submit an IRP within five years of the previous adopted IRP
15 or doesn't submit -- I'm sorry, fails to submit a complete
16 IRP to the Energy Commission and does not correct that with
17 repeated requests for additional information.

18 So the filing -- IRP filing contents that we have
19 identified based on 9621 of the Public Utilities Code
20 include a planning horizon which encompasses the first year,
21 January 1st, 2019 through December 30th -- I'm sorry,
22 December 31st, 2030. This allows for the full analysis of
23 an IRP over the stated goals within public utilities code
24 section 9621, and that is the GHG targets and the RPS
25 targets.

1 For our review, we require there be at least one
2 scenario that is submitted to the Energy Commission that
3 achieves all of the stated goals and targets within Public
4 Utilities Code 9621. However, there may be sensitivities or
5 other scenario analysis that the POU may wish to perform to
6 show or demonstrate the impacts to rates or other functions
7 within the IRP process. We welcome any of that data to be
8 submitted to the Energy Commission, or a description of
9 those scenarios and sensitivities, or the conclusions that
10 you found within those. Those are not required.

11 Each scenario should have a demand forecast
12 identified. We recommend that you use California Energy
13 Commission's energy demand forecast. However, the POU may
14 choose to use their own demand forecast. We only ask that
15 you provide us information for how that demand forecast was
16 developed, and some of the assumptions that underlie it.

17 So these are some of the various components that
18 go into the resource procurement plan that we are requiring
19 be submitted to us. 9621 requires a diversified procurement
20 portfolio. We feel that this section would be met by
21 meeting some of the sub bullets below on this slide; RPS
22 procurement requirements, demonstration of meeting 30 -- 50
23 percent RPS, consistent with PUC 399.11, energy and demand
24 response.

25 There is a provision in here that you -- that POUs

1 need only address this, the procurement of energy efficiency
2 and demand response. But insofar as energy efficiency and
3 demand response is included within their IRP, we do ask that
4 those -- the impacts of those programs be included within
5 the standardized tables, peak impact and storage.

6 Energy storage; again, this doesn't address --
7 POU's are only required to address this if they find that it
8 doesn't fit within their resource needs. It need not be
9 included. Insofar as it is included within their IRP, we
10 ask that the impacts be included within the standardized
11 tables.

12 Same with transportation electrification, an
13 important component. Insofar as there is any transportation
14 electrification assumed to be within the IRP, we ask that
15 the impacts be included in the standardized tables.

16 Systems and local reliability; IRPs are required
17 to demonstrate that their plan is reliable. According to
18 the bullets on this slide, there is reliability criteria
19 that is outlined within the statute that we are asking the
20 POU's demonstrate that they meet. That means reporting a
21 planning reserve margin, peak demand and operating reserves
22 to meet that peak demand. And then there is also
23 utilization, at a minimum, of the planning reserve and
24 reliability criteria approved by the WECC.

25 We are asking for information regarding local

1 reliability areas within the POU service territory, and
2 flexible capacity procurement that the POUs are making,
3 particularly when needed to integrate high levels of
4 renewable energy within their system, meeting estimated
5 ramping needs due to solar in particular, and demonstrate
6 sufficient, flexible and dispatchable capacity to mitigate
7 any challenges on the system.

8 One of the main purposes of the SB 350 was
9 greenhouse gas reductions. The IRP filing contents, we
10 really -- POUs must demonstrate that their plans achieve the
11 2030 target set by ARB, utility-specific target, within the
12 plan. Within the standardized tables, the Energy Commission
13 staff has provided a table that the POUs would provide the
14 emission intensity for all of the energy generation
15 resources within their portfolio. And then from there we
16 can calculate the emissions estimates for their portfolio
17 going through 2030.

18 We ask that additional information be provided by
19 emissions impacts that the POU estimates would occur from
20 transportation electrification, that is increased load due
21 to electric vehicles and the corresponding decrease in GHG
22 emissions from electric -- conventional vehicles on the
23 road.

24 Public Utility Code 452 provides that two sub
25 bullets on retail rates, we are asking the POUs provide

1 information to demonstrate that they have taken retail rates
2 into consideration within their IRPs. We have -- the draft
3 guidelines suggest that this could be demonstrated through a
4 report or a study that is adopted by the POU board. We also
5 include POU's to discuss how various policy options or
6 decisions made in their plan affects retail rates.

7 We are asking that POU's discuss any bulk
8 transmission or distribution system impacts or upgrades that
9 are planned over the forecasted period. Some of these
10 things include reliability concerns or upgrades to integrate
11 renewables. These should be provided as their applicable.
12 There is no requirement to provide anything if there are no
13 transmission upgrades identified within the plan.

14 IRPs need to address localized air pollutants with
15 early adoption of programs in disadvantaged communities.
16 Disadvantaged communities are identified or defined by the
17 CalEPA under Health and Safety Code -- I don't have that
18 code in front of me, I apologize. We are asking for current
19 programs that the POU's have within their service territory
20 to address these, or new and existing emissions reductions
21 programs focused on disadvantaged communities.

22 So that concludes the overview.

23 Next steps for this, we are having a staff webinar
24 on the standard tables and the instructions for filling
25 those out on May 31st. I apologize that these were not

1 ready to be placed within the guidelines to discuss today.
2 They were posted yesterday online for review and comment.
3 Hopefully we can have a good discussion on that at our
4 webinar on May 31st.

5 Public comments for this workshop will be due June
6 15th on the draft guidelines and on the standardized tables.

7 Based on this schedule, the adoption of final POU IRP
8 guidelines will hopefully occur within -- at the August 2017
9 business meeting. And then, of course, the January 1st
10 deadline for submitting IRPs to -- or, I'm sorry, adopting
11 IRPs by the POU's.

12 Thank you. And this is Docket 17-IEPR-07 for
13 submitting any comments to the Energy Commission.

14 MS. RAITT: Thank you, Garry.

15 So for folks in the audience, we were having some
16 trouble with WebEx, but it's fixed, if you need to let
17 anybody know. We've also sent out an email blast so that
18 folks know.

19 So next we have two presentations for public owned
20 publicly owned utility rate cases on the IRP process. And
21 we're going to take out of order from the agenda.

22 So first will be Monica Padilla from Palo Alto via
23 WebEx.

24 MS. PADILLA: Hi there. Can you guys hear me?

25 MS. RAITT: Yes. Thank you.

1 MS. PADILLA: Great. Okay. So thank you so much
2 for allowing us this opportunity to showcase what we are
3 doing here in Palo Alto. As mentioned, I'm Monica Padilla.

4 I'm a Senior Resource Planner with the City of Palo Alto.

5 So Palo Alto has a population of roughly 60,000
6 residents, and we serve roughly 29,000 customers. Our
7 utility department provides water, gas, wastewater, fiber
8 and electric services. For the electric utility, our retail
9 sales in 2017 are predicted to be roughly 925 gigawatt
10 hours, with a peak demand of about 170 megawatts.

11 Palo Alto Utilities is governed by our City of
12 Palo Alto's Council, which is made up of nine elected
13 representatives, and a Utility Advisory Commission which
14 advises our council on several utility policy related items.

15 We are a founding member of NCPA and a member of CMUA, as
16 well.

17 So back in April, we talked a little bit about
18 what Palo Alto has been doing in terms of integrated
19 resource planning. We actually developed our first IRP in
20 1992. But when a bunch of mandates came into the state and
21 the city adopted several policies related to how we will
22 manage the portfolio for our electric customers, we stopped
23 calling it an IRP. So in 2001, we actually started calling
24 it our Long Term Electric Acquisition Plan, but it
25 essentially achieves the same objectives as an IRP.

1 In 2007, and again in 2011, we updated our IRP, or
2 Long Term Electric Acquisition Plan. The 2007 plan had a
3 huge focus on how to reduce the greenhouse gas emissions
4 associated with not only the electric supply portfolio, but
5 all the greenhouse gas emissions for the community of Palo
6 Alto. In 2007 the city adopted a permanent (phonetic)
7 protection plan with an objection to reduce greenhouse gas
8 emissions by 15 percent from 2005 levels by the year 2020.
9 So that was kind of the basis of the objectives and
10 strategies that we would evaluate when developing our 2007
11 plan. Our current -- our 2007, and also our 2011 Integrated
12 Resource Plan.

13 Our current three objectives, as approved by our
14 city council, includes the following three objectives.
15 First, we'll meet our customers electricity needs to the
16 acquisition of least total cost energy and demand resources,
17 and include an assessment of their environmental costs and
18 benefits of meeting those portfolio needs. Second. We'll
19 manage their (indiscernible) cost uncertainty to meet rate
20 and reserve objectives. And then third, we'll enhance the
21 supply reliability to meet city and customer needs by
22 pursuing opportunities, including transmission system
23 upgrades and local generation.

24 So those three objectives were supported by
25 several strategies that key -- eight key strategies that

1 focused on the following areas: One, resource acquisition;
2 two, energy efficiency and demand reduction; three,
3 renewable portfolio standard; four, local generation, five,
4 climate protection; six, market price exposure and cost
5 management; seven, hydroelectric resource management; and
6 finally, transmission and reliability planning.

7 In support of those eight strategies, we developed
8 and counsel approved 38 different initiatives that we would
9 pursue. And these initiatives were either evaluation,
10 development of some models, or actually evaluation in
11 development of a plan or policies to achieve the objectives
12 that were included in our IRP.

13 Some of the major initiatives that came out of
14 this plan included the development of an avoided cost model
15 which would essentially look at all resources, including
16 demand side and supply side, on an equal footing. And it
17 would take into consideration the loading order, as required
18 by the state.

19 Second, the development of energy efficiency
20 targets consistent with the state law to develop a ten-year
21 energy efficiency plan every five years. So Palo Alto has
22 submitted, since then, its 2007, 2012 and 2017 energy
23 efficiency targets to the State of California. Another key
24 initiative -- oh, and by the way, our last energy efficiency
25 target set a 5.7 cumulative reduction target by 2027, which

1 was actually greater than 30 -- it was 30 percent greater
2 than the target set in 2012, which we believe to be a very
3 aggressive target.

4 We've also developed some demand reduction pilot
5 programs as a result of the IRP. And those private programs
6 have proved to be very successful, and so we're looking at
7 continuing them in the long term.

8 We also evaluated an energy storage target, as
9 required by AB 2514, both in 2014 and 2016. Both times we
10 recommended to our city council and they approved our
11 recommendation to not set targets as we did not find energy
12 storage to be cost effective right now. We did, however,
13 recommend that we evaluate pilot programs on the
14 distribution grid side, along with looking at microgrid
15 programs. And that recommendation is expected to be
16 reviewed by our city council later this year. And, if
17 approved, we hope to start implementing those pilot programs
18 in 2018.

19 The IRP also looked at establishing an aggressive
20 renewable portfolio standard, beyond what the state was
21 requiring at the time. And in doing so we actually had
22 counsel approve a 33 percent RPS by 2015, but they also
23 directed us to maximize how much renewables we can achieve,
24 up to a half cent -- a fifty cent -- excuse me, a half cent
25 per kilowatt-hour green premium. So in 2017, we now expect

1 to be about 60 percent RPS with about 12 percent coming from
2 landfill gas, another 12 percent coming from wind, 1 percent
3 from small hydro, and over 52 percent coming from utility-
4 scale solar. And all of these resources are in California.

5 We've been able to achieve this well within the green
6 premium cap that our city council established for us.

7 As part of the IRP, one of the directives that our
8 council was very focused on was how to reduce the carbon
9 intensity of electric supply portfolio beyond an aggressive
10 RPS. And so in 2013, our city council adopted the Carbon
11 Neutral Plan. The Carbon Neutral Plan basically establishes
12 a methodology by which we would count all the emissions
13 associated with our resources as measured at our city gate.

14 We adopted the Climate Registry's Electric Power Sector
15 Protocol to both measure and neutralize greenhouse gas
16 emissions associated with our electric portfolio.

17 In 2013, we were able to essentially achieve being
18 carbon neutral through the use of energy efficiency
19 measures, clean distributed generation, such as solar
20 photovoltaics, large hydro, and our RPS portfolio. Because
21 we were short of meeting carbon neutrality through those
22 resources alone, we also had to use renewable energy
23 certificates to neutralize our load -- our carbon, excuse
24 me.

25 But in 2017, with a 60 percent RPS and very

1 favorable large hydro conditions, we expect to be completely
2 carbon neutral without the use of RECs (phonetic), and that
3 is our long-term goal. In approving our Carbon Neutral
4 Plan, our city council also approved a rate cap associated
5 with procuring additional resources to get to carbon
6 neutral, and that rate cap is set at .15 cents per kilowatt
7 hour.

8 Another major initiative that was a result of our
9 IRP was the development of a local solar plan. So even
10 though we were carbon neutral, there is a strong desire in
11 our community and by our city council to pursue all cost
12 effective local renewables over 12 PV.

13 The target that was set by our council in 2013 as
14 a result of our local solar plan was to achieve 23 megawatts
15 of rooftop solar by the year 2023, which represents about
16 four percent of our load. This is a pretty aggressive
17 target in that we are currently 9 megawatts, and we're close
18 to achieving our NEM Cap. This target also includes a
19 target of 3 megawatts associated with the Feed-In Tariff
20 Program that we have in Palo Alto.

21 Council also adopted, along with the local solar
22 plan, a three-program initiative for us to pursue in the
23 coming years, including developing a group buy program so
24 that we could reduce both the soft costs and hard costs
25 associated with installing solar, a community solar program

1 so that we could help those who want to participate in the
2 solar movement that don't have the appropriate access or
3 roof that would enable them to install solar on their roof,
4 and then last, the solar donation program for some of the
5 nonprofit organizations in Palo Alto.

6 Since the local solar plan has been developed or
7 approved, we've actually done two group buy programs, and
8 we're in the process of developing a community solar
9 program.

10 The IRP also -- well, more importantly, the
11 development of a Carbon Neutral Plan forced us to relook at
12 our voluntary PaloAltoGreen Rate tariff. We had one of the
13 most successful programs at that time in the nation. But
14 with the 100 percent carbon neutral, we didn't feel it was
15 necessary to continue to offer this program. However, our
16 customers felt otherwise. We have several large commercial
17 customers who are participate in either the Environmental
18 Protection Agency's Green Power Partner Program or are
19 pursuing or want to maintain their LEED certification, or
20 for whatever reason, their corporate headquarters have
21 established some high and aggressive sustainability
22 requirement action goals.

23 So because of this, they wanted us to continue to
24 the offer the program so that they can meet these
25 objectives, and so we redesigned our PaloAltoGreen Program

1 to allow those customers who want to procure blocks of
2 renewable energy certificates or who want to have all of
3 their load met by renewable resources that are above and
4 beyond what we currently provide. They can actually pay to
5 do that now.

6 So those are the major initiatives that came out
7 of the last IRP.

8 We're now in the process of embarking on our new
9 IRP. In fact, we have our first stakeholder meeting set for
10 next month, June 7th, where we'll be talking about why we
11 need to update our IRP and what some of the key drivers are
12 going to be of that IRP.

13
14 For starters, since our last IRP, our city council
15 has adopted even more aggressive greenhouse gas reduction
16 targets. Through the approval of the Sustainability Climate
17 Action Plan, our city council has set a greenhouse gas
18 emission reduction target for the community of 80 percent
19 from 1990 levels by the year 2030. So our Carbon Neutral
20 Plan alone, along with our energy efficiency measures, has
21 achieved roughly 36 percent of that goal already. And so
22 we'll assume that we're going to continue to offer our
23 Carbon Neutral Plan into the future. And so from an
24 electric standpoint, we essentially have achieved the goals
25 that have been set by our city council, and we also

1 surpassed the goals that are set in SB 350 and/or by the
2 state.

3 The other greenhouse gas emissions reductions are
4 expected to come from other sectors of the community,
5 including transportation and our natural gas utility.

6 Another key focus of our upcoming IRP is going to
7 be what to do post 2024 when the City of Palo Alto is faced
8 with a decision to either continue with a large hydro
9 resource that we have in our portfolio right now, or replace
10 it with other carbon-neutral or RPS eligible resources. So
11 we expect that to be the biggest issue that our city council
12 and our community will talk about through the process of
13 developing the next IRP.

14 And then other items that we anticipate we looking
15 at through this IRP are the integration of distributed
16 energy resources. We've also already embarked on a process
17 to develop a Distributed Energy Resource Plan. That
18 Distributed Energy Resource Plan will look at where we can
19 achieve the greatest penetration of energy efficiency,
20 demand reduction and distributed generation throughout our
21 system, and then project and set targets for those, for
22 distributed energy resources from Palo Alto. Those will be
23 incorporated into our load forecast and planned for
24 accordingly.

25 Additionally, our IRP will look at just some basic

1 portfolio management issues, including meeting
2 our -- planning and meeting our capacity needs, transmission
3 reliability, and risk management of our portfolio related to
4 hydro and market price exposure.

5 And then as I mentioned before, with the very
6 aggressive greenhouse gas reduction targets adopted by our
7 city council for the community, there is a huge emphasis on
8 electrification of vehicles in Palo Alto, and possibly even
9 fuel-switching appliances that use natural gas to
10 electricity. Since Palo Alto provides both natural gas and
11 electricity service, the city feels that this is an
12 appropriate thing for us to pursue and recommend to our
13 customers when it makes sense. So our IRP or our load
14 forecast will need to incorporate the impacts of
15 electrification onto the electric portfolio and how to plan
16 for it accordingly.

17 And then last but not least, we certainly will
18 talk to our city council and our stakeholders about
19 incorporating the many requirements that are established as
20 a part of SB 350, including the energy efficiency
21 requirements, the need to increase the RPS, which again,
22 we're already at, but we'll formally adopt that, and the
23 various reporting requirements.

24 That's essentially it.

25 I did have -- or Palo Alto did have a chance to

1 review the CEC's proposed guidelines, and we've submitted
2 our comments to the CMUA. And so we fully support CMUA's
3 comments, and specifically we support clarification on what
4 is mandatory versus discretionary in terms of reporting.

5 With that, I'll take any questions, or I'm not
6 sure what the format is for this panel.

7 CHAIR WEISENMILLER: Sure. Let's start.

8 So on the discretionary, are you saying you know
9 nothing about these areas or you just -- it's inconvenient
10 to respond?

11 MS. PADILLA: Oh, no, no. Just clarification on
12 what is mandatory versus discretionary. We fully -- when we
13 evaluated the guidelines, or when I reviewed them, there was
14 nothing necessarily in the guidelines that weren't items
15 that we were already planning on evaluating or reviewing as
16 part of our next IRP. It's just having a better
17 understanding on the reporting requirement associated with
18 the different elements of your proposed guidelines.

19 CHAIR WEISENMILLER: Okay. So you're saying you
20 actually look at, and it's the question of the convenience
21 or cost of filling out the forms?

22 MS. PADILLA: Pardon?

23 CHAIR WEISENMILLER: Again, I'm just trying to
24 zero in on the discretionary aspects. And you're saying, as
25 I understand it, you look at them.

1 And so now the next question is why not respond in
2 those areas? And that gets to either cost or convenience.
3 And I'm trying to understand your perspective on that.

4 MS. PADILLA: Okay. Well, for example, there
5 is -- one of the items was related to reliability and
6 resource adequacy and planning for possible reliability
7 issues associated with the California grid due to
8 overgeneration, due to a large penetration of renewables.
9 Just at first look, it doesn't seem like something that
10 would be within our, necessarily, purview to talk about
11 establishing targets or establishing initiatives to respond
12 to that. So maybe our response would be just a qualitative
13 response that this is what we do in terms of meeting, say,
14 reliability issues, we manage that by retaining capacity
15 and/or procuring resource adequacy products on the market,
16 as required.

17 So it wasn't clear -- so when I first -- the first
18 time that I read the guidelines, whether a response to how
19 we plan to meet for that is mandatory or discretionary. And
20 simply looking at it would not be an issue. And providing a
21 qualitative answer to those different areas would certainly
22 not be an issue at all, either.

23 CHAIR WEISENMILLER: Okay. Well, as we go
24 forward, we'll certainly dive into the issues more.
25 Obviously, one of the issues for the POUs is, well, I can

1 look at ISO today and see exactly what's going on, on the
2 grid. For the POU balancing authorities, it's not there.
3 And certainly if you look on the international level,
4 there's of lot of activity to try to -- for balancing
5 authorities to start following what they're doing in the
6 area of ramping, overage and frequency control. These are
7 not trivial issues, particularly if you look at the
8 experience in Germany or China or the U.S.

9 So the only other questions is how much are you
10 ready for dealing with the upcoming realities on the grid?

11 But anyone else?

12 But again, having said that, it's certainly a
13 fascinating conversation. It's really impressive what Palo
14 Alto is doing. And, you know, particularly in the carbon
15 neutrality and sort of thinking about an IRP process really
16 centered around GHG, you know? So we certainly look forward
17 to working with you in these areas.

18 COMMISSIONER SCOTT: This is Janea Scott. Thank
19 you for your in-depth presentation.

20 I wondered if you had any just high-level bullet
21 points on what Palo Alto is doing with regards to
22 transportation electrification?

23 MS. PADILLA: I'm actually not the right person to
24 talk to about that. And I know that city staff has shared
25 the information with the CEC, most recently, I think, just a

1 few months ago. From a city standpoint, I think we're
2 looking at several measures, however, including looking for
3 ways to increase the insulation of charging stations
4 throughout Palo Alto, and specifically looking at multi-
5 family and how to facilitate the deployment of charges in
6 multifamily-type dwellings.

7 We also have some incentive dollars available
8 through another -- and I always butcher this, the LCS --
9 LCFS credits and looking to see how we can use those funds
10 to help deploy more electric vehicle charging stations.

11 COMMISSIONER SCOTT: Great. Thanks.

12 COMMISSIONER MCALLISTER: So this is Andrew
13 McAllister.

14 I'm just wondering, maybe you could expand just a
15 tad (indiscernible) that this is happening in the IRP
16 process on your end on sort of the treatment, you know, the
17 doubling energy efficiency, certainly, in the IRP and how
18 that, you know, presumably will be represented.

19 Sort of along those lines, you know, on the carbon
20 side of things, what role -- I mean, I know Palo Alto is a
21 leader on looking for low-carbon technologies. And I guess
22 I'm wondering about your -- what you might say about the
23 building code role in the doubling and electrification in
24 terms of, you know, moving between natural gas and electric?
25 That's something that I think the POUs have a more

1 straightforward dealing with, as opposed to the investment
2 utilities, but interested in your thoughts about how that --
3 how both of those, the building code and electrification of
4 heating, plays into your long-term goals in your IRP.

5 MS. PADILLA: Right. Okay. Again, I'm probably
6 not the -- I'm not the expert in this area, but I'll try my
7 best. And if I can't answer my questions, I can certainly
8 direct you to the right person.

9 In terms of energy efficiency, my understanding is
10 that the last ten-year plan that we submitted to the state,
11 which was, I believe, in 2017 or at the end of 2016,
12 actually addressed the doubling of energy efficiency
13 targets, as set in SB 350. And I understand that there's
14 still some work to be done there and that the CEC is still
15 working on how the actual energy efficiency targets or
16 measurement of energy savings will happen. So that's as
17 much as I can say about that, although I will also add that
18 we do pursue all cost effective energy efficiency and demand
19 response measures. And we have a very aggressive team of
20 staff that works with a large set of consultants to work
21 with our customers to deploy that energy efficiency.

22 In terms of fuel-switching or electrification of
23 appliances, we do have a Heat Pump Water Heater Pilot
24 Program that has been in place for, I think, almost a year
25 now. We're learning a lot about that on what it costs and

1 what it takes to actually implement heat pump water heaters
2 in Palo Alto. And that's been -- I don't know if it's been
3 a huge surprise, but it certainly has been interesting to
4 learn about the cost associated with implementing that, and
5 the permitting requirements, and lack of information out
6 there in the contractor arena on how to implement these.

7 So other than that, I don't really know how much
8 more I can add to that discussion. I know that city staff
9 has talked to CEC staff in the past about heat pump water
10 heaters and changes, potentially, to codes to enable better
11 deployment of heat pump water heaters in California.

12 We did recently go to our Utility Advisor
13 Commission and, I believe, our city council, as well, with a
14 recommendation to not mandate heat pump water heaters in
15 Palo Alto, but instead to pursue, again, expansion of the
16 pilot programs and incentives to encourage our customers to
17 switch from natural gas to electric since electric is carbon
18 neutral at this point.

19 I will also add that our city council recently
20 adopted a policy to achieve carbon neutrality for our
21 natural gas utility through the use of offsets, and these
22 are CARB certified, or I think it's CARB-certified offsets.

23 So the discussion about electrification versus
24 neutralizing our carbon with offsets is one that our
25 community is very interested in. And so I think that that

1 policy may get refined as we get a better understanding on
2 what electrification or fuel-switching measures are actually
3 viable in Palo Alto.

4 COMMISSIONER MCALLISTER: Thank you.

5 CHAIR WEISENMILLER: I was just going to say,
6 certainly -- this is Bob following up again -- we'd be very
7 interested in the results of the balance study. I mean, in
8 the E3 Pathway Study, it really flagged the issue of water
9 heater electrification. Obviously, one of the primary
10 barriers they identified ARB scoping plan was the commercial
11 viability of (indiscernible). So certainly trying to get
12 information on real-world performance will be very
13 important.

14 COMMISSIONER MCALLISTER: Yeah. That will help us
15 update the statewide building code, you know, in ways that
16 are appropriate. And it's nice that you're having those
17 substantive conversations at the local level and coming up
18 with reasonable solutions for the near term, and hopefully
19 we can, you know, build on those for the long term.

20 And I'll also just say that the goal-setting
21 process for the doubling is ongoing, as you said. So, you
22 know, which proof of that is reasonably included in the IRPs
23 versus, you know, things that are maybe more long term or
24 more speculative that are out there in the marketplace?
25 That's an ongoing conversation.

1 So appreciate, you know, the coordination between
2 the IRPs and all the other stakeholders in the efficiency
3 realm to make sure that the expectations are set, you know,
4 reasonably and correctly, but still aggressively for the
5 IRPs themselves.

6 MS. RAITT: Okay. Hearing no more questions,
7 thank you, Monica. Greatly appreciate your presentation.

8 MS. PADILLA: You're welcome.

9 MS. RAITT: And next we'll move on to James Barner
10 of LADWP, also presenting via WebEx.

11 MR. BARNER: Hello. This is James. Can you hear
12 me?

13 MS. RAITT: Yes. Thank you.

14 MR. BARNER: Okay. Thank you for letting me
15 present today. I'm going to show our presentation of our
16 IRP and various elements, and our process that we use in our
17 IRP, to show how we might comply with these guidelines.

18 I want to first acknowledge the staff for the good
19 work that they've done to create guidelines that are very
20 comprehensive, easy to understand. We're still going
21 through them, but so far we find them to be very flexible
22 and comprehensive to meet the requirements of SB 350, so
23 thank you very much.

24 I'd like the next slide please.

25 So we have a pretty well developed IRP development

1 process that we've been following for about seven years now.

2 Every other year we have an advisory committee that we form
3 and a public outreach effort. That's the top level and the
4 bottom level of this chart here. That's done every other
5 year. And then we produce an IRP every year.

6 So we first gather stakeholder input from our city
7 council, mayor's staff, major customers, environmental
8 organizations, and we also include the Office of Public
9 Accountability in that stakeholder input process. We have
10 clear goals and objectives meeting reliability,
11 environmental leadership, and competitive rates. Our
12 assumptions are developed by our in-house staff here, for
13 the most part. And our load forecast is developed in-house,
14 so we will be describing details of that in the guidelines -
15 - in the response to the guidelines.

16 We develop strategy case alternatives which are
17 developed with the help of the IRP Advisory Committee. The
18 key assumptions are approved by our management internally
19 here, and we document those high-level key assumptions in
20 our IRP. We also do a resource adequacy and reliability
21 analysis on each one of the cases that we consider to make
22 sure that we can meet our peak load demands. We do computer
23 in-house modeling of the cases, and I'll show you some of
24 the results of that modeling.

25 We present the preliminary findings in a public

1 outreach effort. So we've targeted disadvantaged
2 communities primarily, and presenting the results to them,
3 getting public feedback on our preliminary recommended case.

4 Then we make a recommendation of the preferred case, and
5 then we publish our IRP, which is approved by our general
6 manager.

7 Next slide please. Next slide please. Hello?

8 MS. RAITT: Hi. I moved it to the slide that says
9 "Major IRP elements." Is that not the one you wanted?

10 MR. BARNER: The next -- the one after that.
11 Yeah, that's it.

12 MS. RAITT: Sorry.

13 MR. BARNER: I'm just not seeing it on my end
14 here. Okay.

15 So we've reduced -- the major elements of the IRP
16 are to reduce greenhouse gas emissions by 40 percent
17 statewide by 2030. We have a more aspirational goal for our
18 RPS which is 55 percent by 2030 and 65 percent by 2036,
19 which exceeds SB 350 requirements. We recognize achieving
20 the doubling of energy efficiency savings in our IRP
21 currently considers 15 percent energy efficiency savings.
22 And we think that might be something closer to 20 percent,
23 so we'll have to analyze that in future IRPs.

24 The energy project investments, we make
25 investments in storage, 154 megawatts currently, we have

1 planned, and 404 megawatts of energy storage in the future.

2 We have a distributed energy resources program that we're
3 trying to coordinate better, and replacement of our OTC
4 generating units.

5 We also have a Power System Reliability Program
6 which shows the investments necessary to replace our aging
7 infrastructure. And we have a Transportation
8 Electrification Program.

9 Next slide please.

10 So this is the build-out of our renewables
11 portfolio. You can see the red line is our SB 350 targets
12 up to 2030. And then beyond that, we've just extended that
13 going up to 65 percent by 2036. So we have put on about
14 3,500 megawatts of solar in this scenario here. As you can
15 see, it's a well-diversified portfolio. We think that's
16 important for minimizing overgeneration on our system, and
17 also providing enough reliability so we can guarantee those
18 resources will be available if we have weather activity in
19 various parts of our territory.

20 Next slide please.

21 Resource adequacy. So this would be responding to
22 the capacity table that's mentioned in the guidelines. This
23 is based on a one-in-ten scenario, peak load scenario. What
24 we show here is what we can count as dependable capacity in
25 the evening time which would be when we need our net peak

1 load, so that's when the sun is, for the most part, no
2 longer shining and the wind is there. And we have -- so you
3 can see a small contribution from the renewables. The
4 energy storage shown here is the 404 megawatts that we've
5 approved for this recommended case. And this will help us
6 provide more capacity from those renewables. And then we
7 have a shortfall in the future, beginning in 2025, which
8 we're monitoring and looking at various ways to satisfy that
9 shortfall.

10 Next slide please.

11 The energy balance. This is the output from our
12 modeling here. You can see energy efficiency and renewables
13 is the predominant energy resource, buying energy for our
14 customers load. We have large hydro that includes our
15 Castaic Pumped Hydro Facility Plant. And you can see the
16 energy storage up at the top is contributing some energy to
17 our system.

18 Next slide please.

19 This is the inputs and outputs of our modeling
20 here in a summary form for all of the major resources here.

21 You can see the levelized cost for each one of these
22 resources, what our modeling produces as far as the capacity
23 factor, considering production cost modeling and looking at
24 lowest cost deployment.

25 The peak load dependable capacity was the next

1 column, from 3:00 to 5:00 p.m., that's what we used to use
2 in our dependable capacity. Now we've refined that and now
3 we're looking at the net load dependable capacity, which is
4 the last column. And that typically occurs between 7:00
5 p.m. and 9:00 p.m. And you can see the contribution from
6 each one of those resources. And you can see that solar and
7 wind provides very little dependable capacity during that
8 time period. Therefore, we think that, you know, storage is
9 a good solution for using that energy and providing that
10 dependable capacity that we need in the evening time.

11 Next slide.

12 The electrical vehicle charging forecast. So we
13 current use the CEC's IEPR forecast. We've compared that to
14 other forecasts and we find that it's, you know, very
15 reasonable figures. We have an aspirational goal of
16 doubling that in the future, going to 580,000 EVs by 2030.
17 So we rely heavily on the IEPR forecast, and I think we will
18 continue to do so. We will provide, you know, details on
19 any forecasting that we might do internally here as part of
20 the response to the guidelines.

21 Next slide please.

22 So here we have the overgeneration forecast with
23 energy storage. So for each one of the cases that we
24 analyze we produce a forecast of what the overgeneration
25 would be on our system, this is including our Castaic

1 facility, which is a very large pumped hydro facility. And
2 this also includes the effects after we've implemented other
3 energy storage, such as batteries and so forth.

4 Next slide please.

5 This is an example of our transmission upgrades.
6 So we have described in fair detail our Barren Renewable
7 Transmission Project, describing that. The second phase of
8 that, we will be describing in the IRP, that's bringing that
9 -- increasing that capacity south of our Haskell Canyon
10 Switching Station. So we will be describing our higher-
11 level transmission upgrades that are necessary to bring more
12 renewables into our system.

13 Next slide please.

14 The DER integration, we have a study that we've
15 just recently completed to look at the best strategy for
16 phasing in these measures and turning off old locations on
17 our distribution grid so we can reduce our congestion and
18 extract the most value of these resources. These provide
19 additional system flexibility if properly deployed,
20 controlled to managed. We can potentially defer system
21 upgrades on our distribution system and promote renewable
22 integration.

23 The next slide is our energy storage plan for 50
24 percent RPS. So this is the 154 megawatts that we had
25 previously planned. In this last IRP, we have 404

1 megawatts, which adds additional energy storage, that's
2 battery and compressed air energy storage. This provides
3 dependable capacity for our renewables, maximizes the use of
4 our transmission resources, and it provides regulating
5 reserves to keep gas-fired generation to a minimum on our
6 system to reduce our emissions and maintain voltage and
7 frequency on our system at the same time. It also provides
8 ramping support in the late evening time.

9 Next slide.

10 The GHG emissions forecast here, we produce this
11 every year. You can see that the 1990 levels at the top,
12 the dashed line, we were at 17.9 million metric tons. By
13 this year, or by the latest, next year we expect to be 40
14 percent below the 1990 levels. And going out into the
15 future, by 2030, we'll certainly be closer to 65 percent
16 below, is our estimate. And we picked the 65 percent RPS
17 case. As you can see, the red line is our 50 percent case
18 that we had previously in our IRP. The 65 percent showed a
19 downward trajectory for the greenhouse gas emissions, and
20 that was one of the reasons why we picked a 65 percent RPS.

21 The gray line, you can see, that line represents,
22 if we had done no further renewable or clean energy programs
23 in the future, that's what our emissions would have looked
24 like. And that just considers our coal replacement.

25 Next slide is our rate forecast. This is what we

1 produce every year for our customers to show them what the
2 impacts of the various programs and the mandates that we
3 have to follow, and what the impact on their rates would be.

4 The top line is the rate without preferred electrification,
5 so that would be if we can double the IEPR forecast, we can
6 reduce our rates from the additional revenue that the
7 electrification provides, and we can be in that lower green
8 line there that you can see at that level. If we don't
9 achieve the doubling of the IEPR forecast, then it would be
10 that higher dotted line.

11 You can see in the RPS section, local solar
12 is -- it continues to be one of the predominant parts that
13 impacts on our rates going forward. So we have to be very
14 careful how we design our local solar programs to make those
15 cost effective.

16 And with that, that completes my presentation. I
17 will save my comments for the following discussion. But we
18 do have some concerns, but they're relatively minor.

19 Thank you.

20 CHAIR WEISENMILLER: Thank you. Thank you for the
21 presentation. I was going to say, actually really
22 appreciated the opportunity to work closely with LADWP on
23 the Aliso Canyon analysis. I think we've, over the last
24 couple of years, developed a very strong partnership in that
25 area. Obviously, it's not over yet. But anyway, I'll

1 continue going forward.

2 One of the things that came up in the conversation
3 we had on Aliso Canyon was the proverbial once-through
4 cooling issue. I was just wondering, I understand you're
5 doing some degree of analysis on the repowering options on
6 once-through cooling, is that part of the IRP or a special
7 study or just -- how is that being addressed?

8 MR. BARNER: It's part of a special study.

9 CHAIR WEISENMILLER: Okay.

10 MR. BARNER: The results of that study might
11 impact what we plan in our IRP, so we're going that outside
12 of the IRP process.

13 CHAIR WEISENMILLER: Okay. Another question, and
14 I'll confess, I haven't totally digested it, but I got -- I
15 recently received a letter from the Pro Tem. And the letter
16 points out that with the production tax credit, the
17 investment tax credit, there are a number of incentives
18 which expire between now and 2020 or 2022. And so he was
19 wondering what I was doing to encourage you to buy -- and,
20 obviously, he also have pending legislation to up the
21 targets or move the targets upward and, you know, trying to
22 figure out ways of encouraging me to encourage you to buy
23 more renewables fast.

24 And so wondering, does the production -- those
25 subsidies enter at all into your thinking? Or again,

1 assuming that eventually I send something out, passing on
2 his comments, you know, what can be done to sort of capture
3 the benefits of those subsidies for Californians at this
4 stage?

5 MR. BARNER: Yes. Yes, absolutely, we consider
6 those subsidies. Those are very important to us, and that's
7 why we enter into PPA agreements, so we can take advantage
8 of the tax credits.

9 The current transmission system is relatively
10 saturated at this point. The upgrade that mentioned, the
11 Barren Ridge upgrade, the south-of-Haskell portion needs to
12 be upgraded. We expect that to be completed, I think in
13 2020 or 2021. That will then allow us to further increase
14 our renewables from that area in the state where we
15 currently have a lot of our renewables.

16 We also have to put some energy storage to make
17 sure that we can integrate that into our system and provide
18 the support on our transmission grid. We also have some
19 plans for upgrading our power import from the east on our
20 transmission system. So once those go through we will be
21 purchasing more renewable energy, as well.

22 We also have the STS upgrade that's going on.
23 That will happen in 2025. That might not take advantage of
24 the production costs tax credits and the investment tax
25 credits, but it will allow us to bring more renewables into

1 our system.

2 CHAIR WEISENMILLER: Thank you. Let me -- well,
3 I'll ask one for Andrew, then.

4 On the proverbial doubling of energy efficiency,
5 which we're struggling with, what's your current thinking or
6 activities in that area?

7 MR. BARNER: Well, our plan is 15 percent energy
8 efficiency. We're still discussing that internally, how we
9 would do that and increase, you know, the participation in
10 electrification on the commercial/industry side. We do a
11 potential study every year -- every three years, excuse me.

12 We're just finishing one up, and I think it will be in the
13 next IRP, the results of that, so that will help us maybe
14 get a better idea of how we can help achieve that within our
15 territory.

16 COMMISSIONER MCALLISTER: I wasn't going to take
17 the bait, but I guess I will. Actually, I don't want to ask
18 about efficiency.

19 I wanted to ask about demand response and kind of
20 what you're doing along those lines? You know, we had the
21 En Banc with the PUC the other day and that was one issue
22 that was discussed briefly, but, you know, I think that was
23 in a somewhat different context.

24 So I guess, you know, given that you have a pretty
25 wide diversity of commercial and you have some manufacturing

1 and, you know, to the extent there's some industrial, you
2 serve a good chunk of it, I guess I'm wondering what -- how
3 demand response is likely to play into your IRP process, and
4 maybe just more generally, you know, what your success and
5 kind of future plans for demand response are?

6 MR. BARNER: Well, so far we've been meeting our
7 targets. We did implement demand response this last summer
8 with Aliso Canyon to test that out. And we got more demand
9 response than we expected from our customers, so that was a
10 good sign. That program is continuing to build out. And we
11 hope to achieve 500 megawatts of demand response, which is a
12 very high level relative for a utility our size. And that
13 will be, I believe, in the 2025 time frame, that we'll hit
14 that 500, and we have a build-out up to that point. So we
15 do have an active DER program going forward, and we found it
16 to be very cost effective, and we've had good success so
17 far.

18 COMMISSIONER MCALLISTER: Is that mostly sort of,
19 you know, emergency related, you know, contingency
20 curtailable kind of demand response, manual, or is
21 that -- I mean, I guess, you know, ideally we need to move
22 as a state more towards automated demand response and, you
23 know, sort of putting it in the background and using the
24 cloud to our advantage.

25 What are your plans to do sort of more DR 2.0,

1 3.0, along those lines?

2 MR. BARNER: Well, I don't have a lot of
3 interaction with that program at the moment. But I believe
4 it's not fully automated. I know that, you know, there's
5 the plans to automate that more. But at the present time we
6 found that we can get by without a problem by sending out
7 notifications, you know, a few hours ahead of time. We
8 usually know when our peak load is going to occur or when a
9 heat wave is coming, so we have some advance, you know, idea
10 of when we will need that. And so we send out notifications
11 out to our customers, and they have been responding to that
12 quite successfully.

13 So we're happy with what it's doing so far. I
14 think there is more work we can do on the automation side,
15 though.

16 COMMISSIONER MCALLISTER: And then finally, I
17 guess, to what extent are you building all of that into the
18 rates in terms of maybe just sort of time-of-use rates
19 generally, but sort of building in those sorts of terms into
20 your rate contracts with, you know, larger customers?

21 MR. BARNER: We do have rates set up for the
22 demand response, specifically for that. We have an XRT rate
23 that we've been using for a number of years, and we're using
24 that for the Demand Response Program. It is built into the
25 rates. I should say that the DR Program has been very cost

1 effective, so it doesn't have a huge impact on our rates.

2 COMMISSIONER MCALLISTER: Great. Thanks.

3 CHAIR WEISENMILLER: Thank you.

4 So our next panel?

5 MS. RAITT: We'll have some places up for our
6 panelists up that the tables, so go ahead and get that set
7 up. We'll have a panel discussion with the POUs on the
8 draft guidelines. People are just getting their seats. And
9 Kevin Barker from the Energy Commission is the moderator.

10 MR. BARKER: All right. Thanks everyone. We're
11 on to the panel to discuss the actual guidelines that were
12 released on May 15th. We have some of the similar players
13 that we've had in the past. But then I'd also like to let
14 you know that we do have Turlock Irrigation District that
15 will be commenting remotely via WebEx. They come as part of
16 the 16. They're their own balancing authority, so I think
17 they'll have also a pretty unique perspective on how they do
18 IRP planning.

19 So one thing I'd like to maybe do, which is
20 counter to conventional wisdom, which is you do the bad
21 stuff first and then you get to the good stuff. I'd like to
22 maybe start with the good stuff, what you think we, as
23 Staff, got right. And then we can maybe dive more into the
24 details of, you know, other kind of comments.

25 So, Tanya, do you mind letting us know what we did

1 well?

2 MS. DERIVI: Happy to do so, as the only lady on
3 the panel, as well.

4 We will start out with our overarching things we
5 would like to thank the Energy Commission for. And then
6 we'll also intersperse that throughout our presentation, as
7 well, amongst the joint utilities represented on this panel.

8 I wanted to thank Staff for responding to a number
9 of our concerns that we had filed several weeks now, I
10 believe it was. We had an exchange of 40-page documents
11 between the proposed guidelines from Staff, and then our
12 nearly 40 pages of comments in response to those proposed
13 guidelines.

14 I also wanted to thank our respective IRP
15 staffers, plus our GHG staffers, our regulatory staffers.
16 There are literally dozens of people that we consulted with
17 across our 16 IRP POU's, which was no small feat between
18 SCCPA and NCPA, SMUD, and CMUA, as well. So we wanted to
19 thank especially by staff folks, calling in and listening in
20 from Southern California, for all the work we asked them to
21 do, including through the weekends, to get a robust set of
22 comments back on the proposed guidelines, and forthcoming
23 comments back on now the draft guidelines.

24 I wanted to thank the Energy Commission for
25 adjusting the IRP timeline from the four years that had been

1 proposed back to the statutory requirement of five years.
2 We felt this was important to do because we have a number of
3 internal processes that each of our utilities have to go
4 through as far as local governing boards go. Some could be
5 able to get it done in four years. Others would prefer to
6 do it in five-year chunks.

7 As far as some of our utilities go, they're very
8 big. Some of them have their local governing boards or
9 their city councils, and they don't just handle utility
10 issues. They have a number of other things across the city
11 to handle, as well. There's also the stakeholder
12 consultation process which is fairly robust, especially for
13 cities like Pasadena, for example. That has been pointed to
14 as an example. They actually have movie viewings to go over
15 their IRP, and filled a movie theater in Pasadena to explain
16 to their local communities what the IRP was and to solicit
17 stakeholder comments, complete with popcorn.

18 So things like that are important for local
19 governments. We also need to make sure that Staff has
20 enough time to compile and do the IRP process, management
21 has enough time to review and provide direction. Local
22 governing boards are part of the process, as well as mayors,
23 city councils, outside stakeholders, ratepayer advocates,
24 and everyone else involved in local government planning. So
25 four to five years was an important change for us and we

1 appreciate that recognition.

2 We also appreciate the softening to a more fluid
3 and iterative process so we could try to avoid an appeals
4 process to begin with. I think it would be much more
5 helpful on the front end and throughout the process, that we
6 could have an open dialogue with the Energy Commission on
7 things, especially during the first IRP. Since this is new
8 for both the Energy Commission, as well as the 16 IRP POU's,
9 we wanted to make sure that we tried to get it right from
10 the get go, rather than trying to go through a formal
11 process on the back end as far as appeal process goes.

12 Transportation electrification, we realize that
13 there were two different workshops, and that the comment
14 deadline for that workshop had been merged and then
15 deferred, so that didn't necessarily provide the opportunity
16 to incorporate our comments into the draft guidelines, since
17 they came out before. We fully understand that this is
18 going to be an extremely important component as far as
19 reaching the 2030 emissions reduction goals that our IRPs
20 are supposed to address for these 16 POU's. And we did file
21 comments. Thank you to Jonathan Chingas (phonetic) for
22 shepherding that effort on behalf of the joint POU's.

23 I wanted to recognize and appreciate, to the
24 extent possible, the guidelines, in the draft guidelines
25 that came out. We'll be submitting more robust comments by

1 June 15th on that one. But just wanted to recognize that
2 transportation electrification for utilities is highly
3 variable. It depends on each utility. We have some highly
4 urbanized areas, like Burbanks and Glendales and Pasadenas.
5 We also have highly urbanized areas that have almost no
6 people living in them. Vernon, for example, would be an
7 example, who barely has 100 people living in the smallest
8 incorporated city in California.

9 We also have a very large Irrigation District in
10 Southern California which is predominantly rural and
11 agricultural, so there's different unique, special
12 considerations for Imperial Irrigation District. So the
13 need for flexibility and the ability to submit information
14 and narratives to the extent possible we think is very
15 important for transportation electrification.

16 Our comments on the two prior workshops or light-
17 duty and medium- to heavy-duty vehicles also raised a
18 concern on EV sales forecasts. We weren't sure that the
19 utilities were the most appropriate means to get to that
20 information. So we have been discussing, do we work with
21 local car dealerships, do we work with auto manufacturers,
22 or how would that be most conveniently and easily gathered
23 for the purposes of addressing it in an IRP?

24 Same sort of holds true with forecasting load on
25 that front, as well. And we also wanted to thank the Energy

1 Commission for the requested CEC working with the ARB to
2 come up with a GHG emissions calculator that we could use,
3 kind of heading towards a standardized assumption. And then
4 also giving the Air Resources Board staff some comfort that
5 it was possible to do and potentially can be recognized as
6 part of a cap and trade program. And so we'll have more
7 comments to share on that one going forward, but wanted to
8 recognize the efforts, both in sending a draft around for us
9 to review, and then trying to work towards finalizing that
10 one and still soliciting comments and explanations on that,
11 as well.

12 As far as the association rule goal, we appreciate
13 the reference to that in the draft guidelines. We're still
14 trying to figure out how we could best potentially utilize
15 that one, since we do have very different POUs represented
16 across the state who need to file IRPs. So we're trying to
17 figure out how we could best jointly maybe file elements or
18 components of an IRP, but we haven't yet fully figured that
19 one out. But to the extent that SCCPA and NCPA or CMUA can
20 help our utilities in that regard, we certainly appreciate
21 the flexibility and offer to do so.

22 Lastly, which we hope is going to be an easy fix
23 for the Energy Commission, was on the 30 days to notice
24 substantive changes to IRP guidelines going forward. We
25 understand that ten days is already written out in statute.

1 But given the importance of integrated resource plans and
2 the amount of work it takes to get one done for each of our
3 utilities, we would really appreciate if the Energy
4 Commission would consider giving at least 30-day's notice so
5 that we can participate in that process on substantive
6 revisions to the IRP guidelines.

7 That is my share from the get go. We'll switch it
8 over to NCPA then.

9 MR. BARKER: So first, I'd just like to note that
10 we do have our counsel and legal, that if you'd like for
11 them to respond to any comments and to provide
12 clarification, we have them available here.

13 But go ahead.

14 CHAIR WEISENMILLER: That sounds good. Actually,
15 I was going to say, if they want to come up and sit to the
16 left there, there's spaces. Come on up, so we can get a
17 robust dialogue.

18 MR. BARKER: Go ahead, Scott.

19 MR. TOMASHEFSKY: Thank you. Thank you, and good
20 morning. I'll keep it to the general positive tone, and
21 then keep it more on neutral tones, so we're not on the
22 negative side of a -- more for -- more for continued
23 dialogue. And I --

24 CHAIR WEISENMILLER: So Tim's lined up for the
25 heavy?

1 MR. TOMASHEFSKY: Pretty much. And Justin will
2 really --

3 MR. BARKER: Justin is.

4 MR. TOMASHEFSKY: Yeah. So please be gentle on
5 him.

6 I do, I think as a starting point, I think,
7 although the accolades in terms of dealing with partnering,
8 as the agencies always talk about the fact that you guys
9 coordinate quite well within the agencies, we do that fairly
10 significantly within the things that we're doing in the
11 public power community. So you'll see a lot more of these
12 sort of coordinated responses, but there's a lot of
13 conversations that go on beyond this.

14 I also do want to express appreciation for how we
15 do have some very robust interactions with the staff here.
16 We do with the Commissioners, as well, which you all know
17 that. That's paramount to where we are today.

18 And so when you start to look at the guidelines
19 and what they're here to accomplish, it really isn't a
20 matter of whether we like it or not; the objective of what
21 it's supposed to do is really the most important thing. And
22 so the idea is trying to strike that balance so it works
23 well for purposes of the macro planning that you have to do
24 when you look at where the state is going down its path, and
25 then the information that we are able to provide into that

1 construct. So we quibble with certain aspects of it, but
2 the general direction is really most the important thing.
3 And I think that dialogue has been productive through all of
4 this.

5 So with that in mind, one thing that's important
6 for us to build into the document, at least the way we've
7 looked at this is, is that we generally in the trenches
8 understand what the purpose of the guidelines are. The
9 agency understands in the trenches what you're trying to
10 accomplish. But there's a lot of stakeholders that aren't
11 involved in this. And it's very similar to when you put a
12 table to data out in a study and then there's no footnotes,
13 and then someone takes that table and it all of a sudden has
14 a life of its own.

15 The aspect of the guidelines and what it's
16 supposed to do, it really is a framework to give us guidance
17 as to how to best address the IRPs, and we take a lot of
18 that into consideration. There's other things we'll do, and
19 you've had that from the Palo Alto and the LADWP experience.

20 But when third parties look at this, they have to
21 understand the distinction between what this is intended to
22 do.

23 And so on the front end of this document, it just
24 needs a little more context for what it is and what it's
25 not. Not to say it changes the basic direction of what's in

1 the document, but it just needs that up front. The
2 Commission has its obligations under section -- you know,
3 under SB 350. The public power utilities have their
4 obligations under 350. But here's what it does and here's
5 what it doesn't, so I think that's just very important.
6 This is a tool for everyone, and it's a tool for us to focus
7 our interests. It's also a tool for you to get the macro
8 perspective on things that may or may not be working towards
9 getting to the 2030 target. So that's something we can work
10 through.

11 In terms of stakeholder participation, one thing
12 that's really important to emphasize is that if we're going
13 our jobs properly, which I would argue we are, the need for
14 the guidelines in its purest sense isn't really there,
15 because we will be dealing with all of the things that are
16 in there. The question then becomes, how do we address 9622
17 in how the information that you need governs what you have
18 to do for your evaluation? So the connection between what's
19 being asked and what we do is really tied to stakeholder
20 input at the local level.

21 So our objective is to not have as much of a
22 detailed conversation on the mechanics of all that's in the
23 IRP. All of that stuff should be happening along the way.
24 By the time we get you something, it should be fairly well
25 baked out. To the extent it's not, that's where you start

1 to transition into the IEPR aspect of what you do, so the
2 IRP is for us to figure out these various planning things,
3 how it all fits in. We get stakeholder process. We get
4 work with the staff here. We work with the Commission.
5 When there's outstanding questions, it sort of feeds into
6 that, now that you've given me this information, you're
7 looking for us to help you kind of make sense of it in terms
8 of the macro perspective.

9 So looking at the flow of information between what
10 we do at the local level with robust discussions at the
11 local level then feeds into the process that you use to look
12 at the true valuation, so there's that connection. So it
13 really is a local-level perspective, and all this stuff fits
14 in well with that. It becomes a question of, well, do you
15 need forms or whatnot? But the basic objectives of 350 get
16 fed into it. Guidelines is just helpful for us to kind of
17 shape some of what we do.

18 In terms of the submission schedule, the notion of
19 having data that's not too un-fresh, so that you're looking
20 at something that's not more than 24 months old, that's
21 certainly not an unreasonable thing to do. It also is
22 consistent with the fact that some of us do IRPs more than
23 once every five years. So it's not to say that this becomes
24 the only benchmark for how we do resource planning. We're
25 constantly talking about resource planning as we go forward.

1 With the demand forecast and how that fits in, the
2 fact that there's information that gets fed into the IEPR,
3 some of the things that we do sort of get lost in the
4 planning area aspect of the demand forecast the Commission
5 uses. And we have to be careful that those things don't
6 just get absorbed and then get lost, because there are some
7 things that come out of that that could be helpful. I think
8 Commission McAllister kind of was going down the path a
9 little bit in terms of the water pilot that Palo Alto is
10 using. The extent that there are certain micro things that
11 come out of IRPs that can be helpful for macro purposes, you
12 don't want to have those things lost in the translation, so
13 a couple of things to think about there.

14 With respect to noticing, going back to the local
15 aspect of stakeholder participation, certainly willing to
16 figure out the best way to make that information available
17 to the extent -- like Monica had mentioned, they have their
18 June 7th initial workshop to deal with the IRP -- to the
19 extent that there's ways to make that information available
20 through the Commission website or some other variation so
21 that you have stakeholders that know when things are
22 publicly being deliberated, that's a helpful thing. You
23 know, when we deal with 1568 efforts, there are some aspects
24 there that might be helpful to bring into that conversation,
25 but us to be a resource to be able to provide information,

1 but to still direct much of the discussion, to be able to
2 hold discussion. I think that's very important.

3 A couple -- one other thing, in terms of the --
4 I'll close on the discussion on the deficiency review,
5 because that's -- and, Justin, I'll give you more of the
6 stuff you can throw things at, but I'll give you sort of the
7 higher-level perspective on looking at deficiency in terms
8 of how that could or couldn't be interpreted. And this goes
9 back to what I sort of alluded to before, it's the
10 relationship between the IRP and the IEPR. IRP is sort of
11 where we kind of -- it's the grassroots aspect of resource
12 planning, and we get involved and we provide this
13 information. And now the information requires us to address
14 provisions of 350 which the guidelines address.

15 So then you get into the situation of once we give
16 this to you, how do you address that? Is it a question of
17 deficiency or sufficiency? And those are two very different
18 perspectives to look at, is that are you looking at the
19 grading of what's in there?

20 And I go back to the analogy of when I was -- 35
21 years ago when I was in school, it was the UC Santa Cruz
22 approach where it's pass/fail, whereas at every other school
23 where it's you get graded on that. And so the notion of
24 deficiency, saying it's data adequacy, very similar to what
25 the Commission deals with in siting cases, is that there's

1 enough information to continue the dialogue. It may not
2 have everything you want. But once you get past that
3 initial wave of here's the IRP, we think it's not deficient,
4 then you're going to have that additional conversation in
5 terms of how does that meet state policy going forward?
6 That becomes and IEPR question.

7 And so you want to make sure that you don't get
8 bogged down in not getting past the IRP process, to the
9 detriment of dealing with statewide planning. And that's
10 sort of that balance between the two. And I think we sort
11 of share those concerns, is that it's okay to provide that
12 information, but to the extent that you have those extra
13 questions, those are things that can clearly be answered in
14 a continuing dialogue as it gets into your biannual planning
15 process.

16 That's basically it. I'm going to turn it over
17 back Kevin for a second on that. I appreciate the
18 opportunity to give some thoughts on that.

19 MR. BARKER: I guess one thing I'd like to ask of
20 you guys is this, you referred to the EPS process, the
21 Emissions Performance Standard process of notification, were
22 you guys work with the locals. I'd like to see what you
23 envision for this? Because I can assume it's similar but it
24 may be different. And so it would be nice to see something
25 actually formally of what you -- how we can actually help

1 push it to the local level and not keep it here because, as
2 you can imagine, other folks are also strapped for
3 resources. And so you can have your NRDCs of the world that
4 don't want to go litigate and fight at 16 different POU's and
5 want to try and just come to the Energy Commission when you
6 have those. And so to have a process would be nice to see.

7 MR. TOMASHEFSKY: Yeah. Let me respond to that.

8 From the standpoint of the mechanics of it, in the
9 EPS environment, they're in direct -- they're in regulation,
10 so there are regulations that say here's what we have to do,
11 we've got a certain amount of time. I think there's a way
12 to do that informally. So when you're talking about
13 guidelines, I'm not suggesting that all of a sudden becomes
14 a regulation.

15 Having said that, there's also the -- to your
16 second question, when you start to look at what someone may
17 say, they say, well, I don't want to go to 16 different
18 places, well, if they want to get into the details of what
19 resource planning and how communities are looking at it and
20 how community involvement is, they really have to, to some
21 level.

22 To the extent that they don't want to and it's a
23 matter of looking at state policy and how that might impact
24 state policy, I think that becomes an appropriate follow-up
25 to having those additional dialogues, again, through the

1 IEPR. So it's the macro-micro aspect of it. The micro
2 aspect is really important to have at the local level. And
3 once you take it away from that, you're losing the value of
4 the councils, the advisory commissions. You're losing the
5 adjusted reasonable rate aspect of it, which is clearly a
6 local government's decision-making aspect of it, and you
7 have to have that to be part of that dialogue. If you don't
8 have that at the local level, you're only getting a half
9 read on that. You get to this point, then it's, okay, well,
10 how does that impact the state reaching its 2030 targets?
11 That's the very appropriate question. So a little bit
12 different.

13 But I do think the mechanics of how it works in
14 the EPS, short of having it as a regulation, I think we can
15 kind of work through that. I think we just have to think
16 about how to best address that.

17 CHAIR WEISENMILLER: But again, in an EPS context,
18 when we had that case, unfortunately, the munis and the
19 Sierra Club and NRDC could not agree on anything, was sort
20 of the common -- the way it kept playing out. And we
21 ultimately went through something that at least would give
22 them a guide point that if LADWP was making an investment,
23 they wanted to challenge when it was coming up. Again, we
24 were not trying to get in the middle of that at that stage
25 but at least telling them on, you know, July 25th, show up

1 at LADWP, you know?

2 And we may need something like that again for the
3 Sierra Club's, NRDC's or Greenlining's convenience on your
4 IRP processes.

5 MR. TOMASHEFSKY: Yeah. And I think you can
6 address that, certainly within webcast and noticing
7 perspectives. It just becomes a question of how formalized
8 it has to be. But it's certainly -- I mean, we have a
9 precedent to deal with that, which works.

10 MR. BARKER: Okay. Before we get to Justin, let's
11 turn it over to Tim for SMUD's take, as well as you guys
12 also run a balancing authority, as well, so go ahead.

13 MR. TUTT: Yes. Thanks, Kevin.

14 So I was going to go further down the list of
15 aspects of the guidelines that we think you guys got pretty
16 much right and that are acceptable to us in many ways. So
17 one example of that is the renewable portfolio standard
18 segment. The 50 percent RPS is called out in SB 350. So,
19 of course, some recognition of including that and how we get
20 to that and meet that in the IRP is wholly appropriate.

21 We do appreciate that the RPS is complicated and
22 it includes more than just 50 percent. It includes a bunch
23 of other balancing requirements and so on. We appreciate
24 that those aren't included in the overall table, we felt
25 they didn't belong there, but will be covered in the RPS

1 procurement plans that are also required by SB 350 and are
2 included in the guidelines.

3 And we appreciate the fact that the staff
4 recognized that the IRP doesn't require any change in the
5 timing of RPS procurement plans, it's just we has to provide
6 the most current one. We all expect we'll be redoing our
7 RPS procurement plans, if we haven't already, because most
8 of them did them when the RPS was at 33 percent, and it's
9 now at 50 percent. So we're going to have to react to that
10 and produce a new RPS procurement plan in the new future, if
11 we haven't already.

12 We also think that, of course, energy efficiency
13 is very important in the state and is called out in the law
14 and in the guidelines. We do appreciate that concept that
15 it's to the extent that we rely on energy efficiency. Energy
16 efficiency is one of those things, as you know, Commissioner
17 McAllister, where there has to be a lot of interaction with
18 our customers. And it's not exactly clear what our
19 customers will accept or -- and take action on. So it's not
20 necessarily -- it may not be appropriate in an IRP where
21 we're trying to understand, primarily, reliability and
22 achieving -- addressing covering load to rely on energy
23 efficiency programs that were not -- that are hypothetical
24 and that we're not certain of the impacts of.

25 So even though we are looking at doubling

1 statewide targets, and there's a question of feasibility and
2 cost effectiveness as we get down -- effectiveness as we get
3 down to the local level, in the IRPs, we may be talking
4 about a variety of new energy efficiency programs and ways
5 of contributing to those targets. But we wouldn't
6 necessarily be saying IRP doubles our energy efficiency
7 savings because that's the goal or a target. We'd have to
8 reflect feasibility in the IRP process.

9 We also think, of course, that there's -- it's
10 important to cover the question of impacts on disadvantaged
11 communities and local communities that are disadvantaged.
12 You know, the state has gone through a long process to
13 develop a definition of disadvantaged communities that is
14 widely used now. We're disparate and fairly, you know,
15 unique POU service territories. So we certainly would like
16 the flexibility to not just talk about the disadvantaged
17 communities as it's defined on a statewide basis, but look
18 at our own issues of local low-income and local areas where
19 there are ratepayers, customers, that we do feel like we
20 need to pay attention to and make sure that they aren't
21 being impacted inappropriately.

22 I would note that the SMUD Board recently had an
23 environmental justice panel that came out and presented to
24 the Board. And, you know, there was a lot of good dialogue
25 from the panel. And as a result, you know, SMUD staff is

1 looking at what we are doing on environmental justice
2 already and what we may be able to do more in the future as
3 we look and focus our examination on that aspect of our
4 service territory.

5 And then finally, I don't know if you've seen it,
6 but I'll call your attention to the California Utilities
7 letter to the governor and the legislature about cap and
8 trade. One of the three principals that was called out in
9 that letter is really looking at taking advantage of the
10 criteria pollutant reductions that will come from the cap
11 and trade program, and focusing on additional efforts that
12 we would -- to address the concerns of environmental justice
13 communities.

14 And I think that's what I have.

15 MR. BARKER: Great. Thanks a lot, Tim.

16 I guess for Commissioners, I'd like to note that
17 although we did get the guidelines out on May 15th, what we
18 did hold back were the forms and instructions on how folks
19 would actually fill out parts of the IRP. And so we got
20 that out yesterday, so that has actually been publicly sent
21 around or posted. And we plan to have a webinar on May 31st
22 to go over that with interested parties.

23 So do you mind if I turn to Dan, or do you want to
24 go first?

25 MR. WYNNE: Yeah.

1 MR. BARKER: Okay. Go ahead, Justin. Justin, go
2 for it.

3 MR. WYNNE: So I'll go to the negative stuff.

4 MR. BARKER: I think that's it, Justin.

5 MR. WYNNE: So first I'd just like to echo what
6 everyone's said so far. We do really appreciate the changes
7 that have been made by Staff. We think that they've gone a
8 long way towards what we've been looking for. And then more
9 broadly, on the changes we do want to discuss, in general I
10 don't think it's about the information that's being
11 requested. Sometimes it's the way it's being characterized
12 or sometimes it's on process issues. So I think overall,
13 we're generally comfortable with the information that's
14 being requested in the draft guidelines.

15 The first one, I think Scott already did a really
16 good job on this issue of the scope of the deficiency
17 review. And I think specifically, one of the things, when
18 we're looking at the draft guidelines there appears to be a
19 significant amount of information that goes beyond what
20 would be minimally necessary for the CEC's deficiency
21 review. We understand, given the CEC's role on setting
22 policy and collecting data, we think that that's
23 appropriate. We understand the purpose behind that. But
24 then the question becomes, since there's so much information
25 requested in this and there is this stage where the CEC will

1 be doing this deficiency review, it raises questions on our
2 end, what extent that review will go through the information
3 and what that will apply to?

4 And so I think one of the things that we've heard
5 in our discussions is that if there was a statement, and I
6 think we could propose something that just is clarifying,
7 that for purposes of the deficiency review, it's limited to
8 the specific requirements in section 9621. And that if a
9 POU is providing significantly more information on a
10 specific program, that's not necessarily an opportunity
11 where the CEC is going to go in and attack different aspects
12 of that. So I think that just adhering to the specific
13 requirements of the statute for purposes of the deficiency
14 review is what we would be looking for. And I think we plan
15 to propose something in our comments.

16 CHAIR WEISENMILLER: Keep going, and then I'll
17 have my attorneys respond. I know at some stage we'll have
18 that conversation and dialogue. Again, obviously, keep in
19 mind that from the legislative perspective, particularly
20 when you hold up our requirements vis-a-vis the PUC
21 requirements, we're seen as coddling you. So trying to
22 encourage you not to get us deeper in that box with the
23 legislature. Obviously, we have not gotten to the stage
24 you're suggesting. Maybe the -- you know, you can go to the
25 PUC for the next stage. But anyway, understand, we have a

1 much different role.

2 MR. WYNNE: Thank you.

3 The next topic is fairly complicated, but it's the
4 overgeneration, and then the integration, more generally, is
5 mentioned both in the Energy Storage section, and it's also
6 mentioned under the Flexibility section. And I think we all
7 agree that the integration challenges are a significant
8 issue, and that it is appropriate to include information
9 related to overgeneration and integration within the IRPs,
10 and also have a broader discussion about POU resources and
11 POU procurement and how that factors into the statewide
12 resolution of these challenges.

13 I think the concern we have is that when we look
14 at the actual language, it is focusing on the role of the
15 individual POU, both in measuring overgeneration and in
16 resolving overgeneration, that I don't think fits with the
17 actual requirements. If you're looking at a POU as a
18 utility, as opposed to a balancing authority, there are
19 other obligations.

20 I think specifically in the Energy Storage
21 section, it talks about addressing the suitability of
22 storage to resolve overgeneration from the utility's
23 portfolio. And in the Flexibility section, it's talking
24 about demonstrating that there's enough flexible
25 dispatchable resources to address any potential

1 overgeneration and meet ramping needs, and also estimates of
2 potential overgeneration.

3 And so, first, I think that the reliability
4 aspects are an obligation that, under the NERC Standards, is
5 something that would apply generally to balancing
6 authorities. And so there are already requirements, both
7 that the ISO has, and then the individual balancing
8 authorities, they take actions to address the potential
9 reliability consequences of overgeneration or ramping. And
10 I think the ISO already has requirements, like flexible
11 capacity requirements and things that would address this.
12 And the POUs that are with it, and the ISO, would already be
13 contributing towards those requirements.

14 The balancing authorities, the POU balancing
15 authorities, many of them have very different system
16 circumstances than what the ISO has, and so they don't
17 necessarily face the same overgeneration problems because of
18 where they are located or their resource mix. And so they
19 don't necessarily have the same level of challenge that the
20 ISO balancing authority faces.

21 For an individual POU, they might have resources
22 that would be spread out over multiple different balancing
23 authorities, they might be located in different states. And
24 so for them the idea of measuring what overgeneration in a
25 particular hour is for their portfolio might not be

1 something that could even be measured or something that
2 would make sense, just conceptually of what overgeneration
3 means for their service territory, as opposed to their
4 resources that may be within the ISO.

5 And it's also something where a lot of POUs --
6 under the contract structure, you know, if they're procuring
7 from a renewable resource, they might not have the ability
8 actually ramp down or change the operations because they
9 might not be the scheduling coordinator for that resource.
10 And so they have a limited ability to respond to this.

11 And I think in the context of a utility as a
12 utility, the primary impacts would be financial. And so
13 there would be the consequences from curtailment or negative
14 pricing. And what the POU may be doing, specifically for
15 like storage or some of these flexibility issues, they may
16 be taking actions to hedge against the financial impacts,
17 but they might -- they wouldn't be resolving the problem of
18 overgeneration within their service territory.

19 And so I think we agree that this needs to be
20 discussed and it should be included. And I think we could
21 provide language that would recommend just rephrasing it so
22 we're accurately capturing what the role of the utility is
23 regarding the overgeneration and what they actually can do
24 towards -- what the actual -- of what they're doing in
25 regards to the statewide challenge.

1 And I also think just that -- I think the concern
2 is that we wouldn't want there to be a perception where
3 you're just taking the statewide problem and apportioning
4 that and just assigning a certain share of that to the
5 individual utilities, because that's not necessarily their
6 role or how they would plan for this.

7 CHAIR WEISENMILLER: Well, that's a good
8 discussion. I think fundamentally, what we're trying to get
9 to is for the POU's that are balancing authorities, are they
10 -- what are they -- what are they doing in thinking through
11 in this area, to the extent it hits them? Now, obviously,
12 for the POU's that are in the ISO, I assume the answer is
13 going to be short.

14 MR. WYNNE: So that actually might -- well, I'd
15 like for our counsel to respond. But with that question,
16 should we actually ask Dan that, since you --

17 MR. BARKER: And I think that's something that the
18 TID had teed up. So, yeah, I don't know if -- I don't know
19 how the WebEx is set up, if you can just --

20 MR. SEVERSON: Sure. I can --

21 MR. BARKER: Go ahead, Dan, please answer the --
22 yeah.

23 MR. SEVERSON: Can you guys hear me?

24 MR. BARKER: Yes. Go ahead.

25 MR. SEVERSON: Appreciate the invite.

1 And you know, to that question specifically, TID
2 as a BA, you know, based on the fact of where we're located,
3 sure, the sun shines here. The wind doesn't necessarily
4 blow in our BA. And we're not necessarily well situated as
5 a site as far as a balancing authority to integrate -- or,
6 I'm sorry, to site renewables. Really, the irradiation is
7 much better in the southern part of the CalISO for solar and
8 wind along the Tehachapis and other areas. So we really
9 haven't experienced the need to really address
10 overgeneration.

11 Now there are times during the year, we have quite
12 a bit of large hydro. There are times in the springtime
13 when loads are low and the runoff happens where we do run
14 into, you know, the occasional issue. You know, we are very
15 well resourced as a BA.

16 So that's about it from our perspective as of
17 right now.

18 MR. WYNNE: And I think, and if it would helpful,
19 I think in our comments maybe we could try and gather some
20 of that information from just the broader, since there's
21 different BAs. And so -- and I think I'm familiar with some
22 more than others as far as this specific issue. And so I
23 want to be able to speak to all of them. And so I think we
24 could gather that and present that, either in our comments
25 or in discussions directly with Staff.

1 MR. BARKER: Okay. So on some of the issues that
2 you raised, and maybe our other panelists raised, I don't
3 know if our attorneys are willing and ready to --

4 MR. WYNNE: And I -- there -- we do --

5 MR. BARKER: -- provide comment?

6 MR. WYNNE: We do have a couple more --

7 MR. BARKER: Oh, sorry.

8 MR. WYNNE: -- points.

9 MR. BARKER: Go ahead.

10 MR. WYNNE: So my final point, it's on the portion
11 of the guidebook that includes noncompliance. And so when -
12 - and we've been having a lot of discussions among the
13 attorneys. And so when we look specifically at 9621 and
14 9922, we don't see those provisions providing the concept of
15 what noncompliance would be in terms of these guidelines.
16 What we see is there's the deficiency finding. And so I
17 think before we saw the guidelines, what our expectation
18 was, was if a POU submitted an incomplete IRP or failed to
19 submit an IRP, both which I think are extremely unlikely to
20 happen, but that that would support a finding of deficiency.

21 And so if a POU were to do that under 9622, that would
22 support that finding.

23 And so I don't have a lot more to go on beyond
24 that. But I think that just given the focus of the actual
25 statutes that support this specific requirement, we viewed

1 it as an issue of deficiency as opposed to some concept of
2 noncompliance. And I think it's also unclear to us what
3 noncompliance means in this context and what the
4 consequences of noncompliance in comparison to deficiency
5 would be.

6 CHAIR WEISENMILLER: Okay. While you were
7 thinking, I was going to ask if Turlock had any other
8 comments?

9 MR. WYNNE: And then I'm done, so, yes, so Turlock
10 can --

11 CHAIR WEISENMILLER: Turlock can. Also, IID has
12 called in for public comment. That's probably more
13 efficient to have them also --

14 MR. WYNNE: Okay.

15 CHAIR WEISENMILLER: -- weigh in at this moment.
16 And then we'll transition over to the attorneys.

17 MR. WYNNE: Okay.

18 MR. BARKER: So, Dan, did you have any other
19 comments that you'd like to make?

20 MR. SEVERSON: Sure. Sure.

21 MR. BARKER: Okay.

22 MR. SEVERSON: Can everybody hear me? Am I --
23 okay.

24 MR. BARKER: Yeah. Go for it.

25 MR. SEVERSON: Yeah. Generally, you know, we were

1 tasked -- you know, it all start off by echoing most of the
2 other panelists in that, you know, we really appreciate
3 Staff's attention to our joint comments and addressing some
4 of the wholesale concerns that we had on a macro level, one
5 of them being the softening of the language on the rate
6 section. While we're appreciative, we think -- we do think
7 there's a little ways to go there.

8 And then on the harmonization of the timelines,
9 also very appreciative of our concerns there, you know?

10 And, Kevin, I know you -- as a follow-up to
11 our -- to the last topic as far as overgeneration, you know,
12 one thing where it does effect TID, we are a market
13 participant. And we do have -- we just added a pretty large
14 chunk of solar PPA in CalISO. And we are seeing the effects
15 of overgenerating in that facility being curtailed. So on a
16 financial side, it's definitely a concern. Whereas on the
17 BA side, it really hasn't come to hit us yet.

18 Other -- so I guess I'll take the opportunity to
19 introduce TID to you guys. I know we've said this in
20 comments before, we are the first irrigation district. We
21 were formed in 1887. We are located in the Central Valley.

22 And while I can appreciate other stakeholders' cries for
23 the lack of resources, you know, we definitely understand
24 the ability to fight 16 fights. But, you know, the point
25 that we would like to make on that issue is that this is

1 where those decisions are made and that we take into
2 consideration the input of our ratepayers, who own us, when
3 we make those decisions. And so this is where, you know,
4 this is where the fight needs to happen.

5 And so out of the -- you know, to that extent, we
6 serve 11 communities. We have just over 100,000 electric
7 customers. And of those 11 communities, 7 are
8 disadvantaged. And so I know there was some mention earlier
9 of the IRP focusing on low income and disadvantaged
10 community issues. While, you know, we generally support
11 that, we don't want to proliferate policies that, you know,
12 that harm the very communities that they're designed to
13 protect.

14 And I will just generally say, in our process, in
15 our IRP process, we focus on our strengths which, you know,
16 in TID's case ties in with our TID -- or our board-adopted
17 mission, which is reliable power, cheap rates, and a high
18 level of customer satisfaction, while being good stewards of
19 our abundant diversified power supply. You know, TID is
20 very well resourced as part of our BA. And I know this is
21 an issue for some of the other POUs in that, you know, we
22 are vertically integrated, and we are generally well
23 resourced. And so to the extent that state policies, while
24 we definitely, you know, support the state's climate change
25 and environmental goals, it's a big issue for us. And, you

1 know, especially the stranded asset aspect of, you know,
2 what -- you know, we've issued bonds and built quite a bit
3 of generation, you know, to support our balancing authority
4 obligations.

5 Where else do I need to go? Okay.

6 As far as the rates, so some of our concerns on
7 the rate part, while we appreciate the edits, you know, the
8 people that pay those rates have plenty of opportunity to
9 weigh in and to give us every kind of opinion on the
10 justness and the reasonableness of it. And, you know, we'll
11 be submitting clarifying language, you know, to clarify the
12 limited -- the limitations on the Commission's ability, you
13 know, to review our rate decisions. We need -- I think we
14 need to clarify that. And we will be submitting those in
15 joint comments.

16 CHAIR WEISENMILLER: I would note that in spite of
17 a petition signed by 7,000 Sierra Club members, we did not
18 suggest their suggestion to intervene on rate design at the
19 PUC.

20 MR. SEVERSON: We very much appreciate that.

21 MR. BARKER: Was it just 7,000? I mean --

22 CHAIR WEISENMILLER: I lost count at some point,
23 but anyway --

24 MR. SEVERSON: There's one section in the
25 guidelines, a section after, there seems to be some sort of

1 a circular sentence that says,

2 "In addition, to the extent information is not included
3 in the IRP filing, inputs, assumptions and
4 methodologies must be provided as supporting
5 information."

6 And, you know, we'll be addressing this in
7 comments, but we would like clarity as to what the first
8 information is in that sentence. That's -- it's fairly
9 vague.

10 And then as far as the public process, you know,
11 as many of the others have stated here today, we are public
12 agencies. We go through, you know, a pretty extensive
13 public process on all fronts, including the adoption of the
14 IRP.

15 And, you know, while we have the attorneys there,
16 I mean, we do understand the Commission's statutory
17 requirement to publicly post Board-adopted reports and
18 findings. I'll just -- what I'd like to point out here is
19 that by the time you receive TID's IRP, it will be fully
20 vetted and it will be the TID's Board determination that
21 it's consistent with SB 350, and complete an accurate.

22 And so we disagree with the requirement to take
23 public comment. And it's not because we're trying to be not
24 transparent, but we just feel that it's a Commission and TID
25 Board obligation to kind of agree like, okay, yeah, you know

1 what, you're right, it is complete and it's accurate, and it
2 meets all the requirements of section 9621 and SB 350.

3 I'll just close with saying that, you know, POUs
4 in general, we're a very diverse group. You're going to get
5 some 600-page IRPs. You're going to get some minimal ones.

6 And really, the point that we'd like to make is that it's
7 up to our ratepayers and our governing board to determine
8 what's appropriate.

9 I appreciate the time.

10 MR. BARKER: Thanks a lot, Dan.

11 So as I call Sean Neal, if you're in the room --

12 CHAIR WEISENMILLER: Please.

13 MR. BARKER: -- do you mind coming up to the --

14 CHAIR WEISENMILLER: Come up to the podium.

15 MR. BARKER: -- to the podium.

16 One thing maybe, Janna and Galen, as -- before he
17 makes his remarks it would be nice if you could maybe talk
18 about the -- a couple different things. This issue of
19 determination of deficiency, what Justin refers to as
20 section 9621, I'm looking at section 454.52, subparagraph C
21 through H, as being things that have been identified that
22 are required in the IRP, and so that being the req.

23 And then what is our current thinking with regard
24 to reviewing of rates being just and reasonable?

25 MS. ROMERO: Okay. This is Jana Romero from the

1 Chief Counsel's Office. I will take a first stab at these
2 things, and then Galen may jump in, as well.

3 Also, I'd like to invite Staff to help answer some
4 of these questions, because to the extent that they're
5 technical, they're probably the best ones to answer them.
6 But I can lay out a little bit of sort of the framework.

7 So under 9622 of the Public Utilities Code the
8 Energy Commission is required to review POU IRPs for
9 consistency with 9621. We are looking at the requirements
10 as all of the elements included. So, for example, on the
11 items that are to be addressed under 9621(c)(1)(A) through
12 (E), you know, there's not a particularly procurement
13 requirement around those things, but they do have to be
14 addressed. So to us, that is the requirement, that they be
15 addressed.

16 You know, all of the elements in 9621 are the
17 required elements that the CEC is looking at when reviewing
18 the IRPs. And the staff proposal, which you all have
19 reviewed, is what Staff feels it needs to be able to review
20 for those required elements.

21 So, you know, we are here in a listening mode
22 today to collect your comments and get your feedback on the
23 guidelines. And to the extent that you disagree with
24 Staff's interpretation of the statute or why a particular
25 piece of data is required or not required, we are very

1 interested in hearing about those in your written comments,
2 as well. And not all of the information is being required
3 in the IRP itself. But some of that supporting information
4 is required in the filing, pursuant to the language in
5 9622(c) that allows the Energy Commission to adopt
6 guidelines to govern the submissions of information and data
7 and reports needed to support our review of the IRPs. So
8 that's where that IRP versus IRP filing distinction comes
9 in.

10 So hopefully that is helpful on sort of a high
11 level. And again, we're just very happy to review your
12 written comments on, you know, the particular changes that
13 you would like to see or particular interpretations that you
14 disagree with from Staff's proposal.

15 MR. BARKER: Okay. Thank you. Thanks, Jana.

16 And so the rates keep coming up. I think we stuck
17 to the statute in our guidelines.

18 And this might even be more of a question for
19 Garry, but what do you envision with regard to reviewing
20 those?

21 MR. O'NEILL-MARISCAL: So this is Garry.

22 So within the guidelines, we have included a brief
23 discussion of just needing some sort of a report or
24 something that shows that the POU has considered the impacts
25 of the rate for their IRP, and something to show that they

1 have, quote unquote, minimized the impact of rates on their
2 ratepayers, which would meet the requirements of 454.52.

3 MS. ROMERO: Yeah. I'll just add that, you know,
4 regarding rates, you know, we recognize the sensitivity,
5 we're not ignoring that. We're trying to balance that
6 against shirking the Energy Commission's statutory
7 responsibility to review for all the requirements of 9621,
8 and the 454.52(C) through (H) requirements are part of that.
9 So again, we're happy to review your comments on that
10 matter.

11 MR. LAMEI: And I'll just say I really -- this is
12 Galen speaking, Co-Counsel with Jana -- I really don't have
13 anything to add to what Jana said. I think she really
14 captured the staff's approach in the guidelines.

15 MR. BARKER: Okay. So let's move on to Sean.

16 What I would encourage, and I know we're getting a
17 little bit close to running out of time, but I would just
18 note, this is your actual time that you can, on the record,
19 ask our counsel what they think about specific provisions.
20 So I would actually encourage that maybe one or two points
21 of clarification that you can actually ask them.

22 But let me first turn to Sean for IID's
23 perspective.

24 MR. NEAL: Certainly. Chair Weisenmiller,
25 Commissioners, thank you for the opportunity to speak today.

1 I was called in the context of the role as POU's as
2 balancing authority areas.

3 CHAIR WEISENMILLER: Uh-huh.

4 MR. NEAL: And so I'm glad you raised that,
5 because that was one of the points of reference I wanted to
6 raise in the public comment section, so I'll touch on that.

7 So on behalf of IID, I wanted to thank the CEC for the
8 opportunity to comment.

9 IID supports the State RPS GHG Emission Reduction
10 Goals, and very much appreciates the flexibility in response
11 of the CEC and Staff during this process.

12 With regard to -- IID does want to emphasize and
13 point out, and it wanted to explain what it anticipated
14 pointing out in its IRP as it envisions it under the present
15 guidelines. And the fact that, you know, as a balancing
16 authority area, it has responsibilities and obligations to
17 address, you know, imbalance and flexibility.

18 On the topic of addressing overgeneration, you
19 know, as I am not -- do not know at this point exactly IID's
20 strategy or, you know, specific approach to dealing with
21 overgeneration, though I would say, like TID, IID is well
22 resourced. Flexibility is a goal of IID. We recently
23 installed a large-scale battery, I believe it's 30
24 megawatts, subject to check, but with room for expansion.
25 And there's an article posted by APPA's Public Power Daily

1 last week that's available to explain its black start
2 capability, which I believe is one of the first in the
3 nation.

4 In addition, IID is interested in markets, in
5 thinking of the overgeneration issue, markets for its
6 generation within its territory. So outreach and being able
7 to export power, you know, I think having that capacity
8 syncs up with ways of addressing overgeneration.

9 So going back a little bit toward the comments I
10 was going to approach later, but it has a correlation to the
11 topics discussed here, IID acknowledges the important role
12 of solar PV, wind resources and battery storage to meeting
13 RPS and GHG reduction goals, very important resources. They
14 each have their own advantages and challenges.

15 IID also believes it's important to account not
16 only for those resources but for geothermal generation, both
17 baseload. And it wants to emphasize fully dispatchable
18 geothermal generation, which can facilitate the penetration
19 of intermittent resources through the flexibility in
20 assisting and maintaining system inertia, which was a topic
21 discussed at the May 12th workshop here at the CEC regarding
22 the need for flexible resources on the grid.

23 You know, implementation and development of such
24 generation in IID's service territory, especially where it's
25 likely to be -- you know, could be located in the Salton Sea

1 area. It could have a particularly beneficial effect in
2 providing clean, green jobs to the area, especially an area
3 impacted by health concerns, high incidents of asthma due to
4 reduction in water levels of the Salton Sea. And it's high
5 incidents of asthma to children in the area from the
6 resulting exposure of dust and other pollutants.

7 So IID sees a significant role for dispatchable
8 geothermal generation in meeting the planning goals set
9 forth in its IRP.

10 And lastly, IID looks toward the discussion on
11 transportation electrification and consideration of impacts.

12 Mr. DeRivi, you know, discussed and alluded to the
13 challenges and the consideration that IID needs to deal with
14 in considering how as a rural agricultural community the
15 market for transportation electrification and how that may
16 differ from a more urbanized setting and how to account for
17 that and meet, you know, or anticipate what the market will
18 provide.

19 So with that, I thank you for the opportunity to
20 comment.

21 CHAIR WEISENMILLER: We certainly thank you for
22 being here. I think all of us are hoping that IID really
23 shows how to develop cost effective geothermal and
24 demonstrate the status to the rest of California.
25 Obviously, go forward in that area.

1 Transportation electrification is hard for you in
2 this rural area, but it's a key part of dealing with some of
3 the air quality issues. So again, I don't know how you give
4 that attention.

5 And I would note that, obviously, your battery is
6 great. It came out of your settlement agreement with FERC,
7 coming out of the outage. And the outage is certainly a
8 clear reminder to all of -- was a clear reminder to all of
9 us that we are all interconnected. So it's really important
10 that balancing authorities deal with issues that will come
11 forward now as we go to a more intermittent grid.

12 But anyway, thanks for being here.

13 MR. NEAL: Thank you.

14 MR. BARKER: So I'd like to open it up for -- if
15 you had one question or clarification to ask our counsel,
16 please feel free. Other than that, then I'll turn it over
17 to the Commissioners. No?

18 CHAIR WEISENMILLER: Okay. Of course, they'd be
19 happy to meet --

20 MR. BARKER: And --

21 CHAIR WEISENMILLER: -- our attorney later. But,
22 you know --

23 MR. BARKER: Dan, were you jumping in?

24 CHAIR WEISENMILLER: -- for a really detailed
25 discussion.

1 MR. SEVERSON: Yeah. I'd like to --

2 MR. BARKER: Okay.

3 MR. SEVERSON: -- the opportunity --

4 MR. BARKER: Go for it. There you go.

5 MR. SEVERSON: -- if I could.

6 There was some mention of a Commission statutory
7 requirement. And granted, I am not too familiar with your
8 statutory requirements to publicly post documents, reports.

9 Could you cite what the code is and what the
10 requirement is specifically? Is it just Board-adopted --

11 CHAIR WEISENMILLER: No, no, no.

12 MR. SEVERSON: -- (indiscernible)?

13 CHAIR WEISENMILLER: Everything that's the basis
14 for our decision is public. Now there is an opportunity to
15 file material and ask for confidential status. But, you
16 know, we were -- basically, this is -- the Warren-Alquist
17 Act established us, and really built into that at that time
18 by Charlie Warren, was this is a very political process,
19 believe me. And so that certainly applies.

20 And one of our purposes is really to encourage
21 public participation. We have a public adviser. Again,
22 this presumption is here, generally, as if it's something
23 we're basing our decision on is public. And again, there
24 are opportunities for confidential treatment of material.
25 But I personally have, for example, refused to participate

1 in the PUC Procurement Review Group because it's all
2 confidential, and I'm not going to base my decisions on
3 anything occurring in a confidential group.

4 MR. SEVERSON: I understand. As a public agency,
5 we're aligned there, and we're subject to the Public Records
6 Act, as well. And we just like to keep those conferences as
7 local as possible. I appreciate it.

8 CHAIR WEISENMILLER: Well, I think what you're
9 opining, certainly, I mean, the reality is that interveners
10 will pursue issues when and where they can. You know, I
11 think we always encourage, you know, relationship with the
12 PUC, that we deal with the environmental part and they deal
13 with some of the need parts. And certainly parties, you
14 know, raise both environmental issues at the PUC and need
15 issues here, and somehow we work that through.

16 So again, I would anticipate, you know, that
17 you'll see some degree of creative interveners trying to
18 raise issues in various forums. And all we can do is try to
19 help facilitate their participation at a local level, so at
20 least they don't have that excuse when they show up here.

21 MR. BARKER: Galen, did you have a follow up?

22 MR. SEVERSON: Certainly. Appreciate it.

23 MR. LEMEI: This is Galen again. I was just going
24 to put out that the regulations that govern our
25 confidentiality process are set forth and begin in section

1 25500, 2-5-5-0-0, of Title 20. And if you have questions
2 about that process or would like to discuss, please do give
3 us a call. We're happy to help with that.

4 MR. BARKER: Thank you.

5 MR. SEVERSON: Thank you.

6 MR. BARKER: I'd like to turn it over to
7 Commissioners, if you have any questions of our publicly
8 owned utility representatives.

9 CHAIR WEISENMILLER: I think I've covered things
10 up until now.

11 But again, I would remind you that Senator de Leon
12 is very interested in people taking advantage of the PTC and
13 ITC. I wish geothermal was not blessed with that,
14 unfortunately. But take advantage of those subsidies while
15 we can.

16 MR. BARKER: And just as a head's up for folks,
17 the Chair is referencing a letter that was sent to him and
18 President Picker, encouraging advanced procurement of
19 renewables before any decision is made on the federal level
20 for the tax credit, so -- and we received that two days ago.

21 With that, should be move to public comment?

22 CHAIR WEISENMILLER: Yes, please. Any public
23 comment from anyone in the room? Anyone on the line?

24 MS. RAITT: No one on WebEx.

25 CHAIR WEISENMILLER: So this meeting is adjourned.

1 Again, thanks for being here and thanks for really -- as I
2 say, this is important. This is important to get right, and
3 so I appreciate your help working through the details.

4 (The meeting adjourned at 12:22 p.m.)
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 13th day of June, 2017.



Eduwiges Lastra
CER-915

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

June 13, 2017